

BEFORE THE

FLORIDA PUBLIC SERVICE COMMISSION

In The Matter of	:	DOCKET NO. 891345-EI
Application of GULF POWER	:	<u>HEARING</u>
COMPANY for an increase in rates	:	<u>EIGHTH DAY</u>
and charges.	:	<u>EVENING SESSION</u>

VOLUME - XXIII**RECEIVED**

Pages 3392 through 3618

Division of Records & Reporting

JUN 20 1990

FPSC Hearing Room 106
Fletcher Building
101 E. Gaines Street
Tallahassee, Florida 32399

Florida Public Service Commission

Wednesday, June 20, 1990


Met pursuant to adjournment at 1:10 p.m.

BEFORE: COMMISSIONER MICHAEL McK. WILSON, CHAIRMAN
COMMISSIONER GERALD L. GUNTER
COMMISSIONER THOMAS M. BEARD
COMMISSIONER BETTY EASLEY

APPEARANCES:

(As heretofore noted.)

REPORTED BY: JOY KELLY, CSR, RPR
SYDNEY C. SILVA, CSR, RPR
Official Commission Reporters
and
LISA GIROD-JONES, CPR, RPR
Post Office Box 10195
Tallahassee, Florida 32302



FLORIDA PUBLIC SERVICE COMMISSION

I N D E XWITNESSES

Name: Page No.

JACK L. HASKINS (Rebuttal)

Cross Examination by Mr. Burgess	3395
Cross Examination by Major Enders	3396
Cross Examination by Mr. McWhirter	3398
Cross Examination by Mr. Palecki	3422
Redirect Examination by Mr. Stone	3429

EARL B. PARSONS, JR. (Rebuttal)

Direct Examination by Mr. Holland	3434
Prefiled Testimony Inserted	3436

M. W. HOWELL (Rebuttal)

Direct Examination by Mr. Holland	3480
Prefiled Testimony Inserted	3482
Cross Examination by Mr. Burgess	3545
Cross Examination by Mr. Palecki	3571
Redirect Examination by Mr. Holland	3586

COLEN R. LEE (Rebuttal)

Prefiled Testimony Inserted	3590
-----------------------------	------

CHARLES E. JORDAN (Rebuttal)

Prefiled Testimony Inserted	3606
-----------------------------	------

Index Continued:

EXHIBITSNumber:Identified Admitted

616 (Wright)

3433 3433

583 (Wright)

3433

617 (Late-Filed) (Howell)

3572

618 (Late-Filed) (Howell)

3580 3582

126 Through 128 (Lee)

3589

139 Through 140 (Jordan)

3605

EVENING SESSION

(Transcript follows in sequence from Volume XXII.)

CROSS EXAMINATION

BY MR. BURGESS:

Q Mr. Haskins, isn't one of the -- isn't the reason that you disagree with Mr. Wright's method for determining time-of-use demand charges that a customer who is able to shift most of the load off peak would end up being subsidized?

A A customer that is able to shift all of or a major portion of his load off peak would pay very little demand charge. In fact, on his proposal he would only pay for the local facilities and would pay no production and transmission related demand charge, and I don't believe that's appropriate for him to get a free ride on that. And so to that extent he would be being subsidized by the remaining customers.

Q So it's correct, then, that even if all usage is off peak, there is still some production and transmission costs incurred by Gulf Power?

A Yes.

Q Then is it fair to say that even if usage is entirely off peak, it, nevertheless, causes the Company to incur some production and transmission costs?

1 A If usage is entirely off peak, there is still
2 a need for production and transmission cost to provide
3 service to that customer.

4 Q So it causes -- usage entirely off peak,
5 nevertheless, causes the Company to incur production
6 and transmission costs?

7 A Yes. (Pause)

8 Q Isn't one of the reasons for Gulf's opposing
9 higher industrial rates the fear that you'll push some
10 of your industrial customers to cogenerate?

11 A That, as well as the fact that industrial
12 customers might either leave Gulf's service territory
13 or not come.

14 Q Cogenerate, leave or simply not arrive in
15 Gulf service territory?

16 A That's correct.

17 MR. BURGESS: Thank you, Mr. Haskins.
18 That's all we have.

19 MAJ. ENDERS: Thank you, Mr. Chairman.

20 CROSS EXAMINATION

21 BY MAJOR ENDERS:

22 Q Mr. Haskins, on Page 5 of your rebuttal
23 testimony you state "Mr. Wright's proposal is a brief
24 theoretical discussion, which has no regard for the
25 effect implementation of his proposal might have on the

1 affected customers." Why do you say that?

2 A Because he has run no calculations of the
3 effect his rates would have on individual customers to
4 see what percentage increase they might get, to see
5 what the effects might be on their individual bills and
6 the effect on other rates that would be adjacent rates,
7 if you will, to those classes of customers.

8 Q What, if any, calculations or what rates has
9 Staff proposed in this regard?

10 A To my knowledge they have not proposed any
11 rates that would look at this aspect of rate design
12 either.

13 Q Similarly, on Page 8 you're discussing Mr.
14 Wright's alternative method for determining energy
15 charges, and I guess your answer is about the same as
16 it was to the previous question.

17 A Yes, it's an interesting theoretical
18 discussion, but with regard to the actual effect on the
19 customers in Gulf's territory, he's made no
20 determination of that.

21 Q Mr. Haskins, you said Dr. Johnson's proposed
22 LP/LPT rates would take the class down to .95 index of
23 return. .05 below parity, is that correct? I believe
24 you said that in your summary.

25 A Yes.

1 Q Would you agree with me that there are
2 intraclass subsidies within the LP/LPT class?

3 A I will agree to that to the extent that
4 within any class of rates that has more than one
5 customer in it, there may be an intraclass subsidy
6 because no rates are precise in recovering the costs
7 from individual customers within a large class.

8 Q But is a subsidy more aggravated in this
9 class than say the other classes?

10 A I don't believe it's any more aggravated in
11 that class than it might be in another class

12 MAJOR ENDERS: I have no further questions.

13 CROSS EXAMINATION

14 BY MR. MCWHIRTER:

15 Q Mr. Haskins, to follow up on Mr. Burgess'
16 question.

17 When you build a generating station or a
18 transmission line, you pay the money to build it and
19 then you incur what they call "fixed capital costs."
20 You've got to pay off the mortgage, and you have
21 depreciation expense, and taxes and so forth. And
22 those continue to run on peak and off peak, don't they?

23 A Yes, sir.

24 Q So if a customer didn't buy electricity
25 during the off-peak period, do your banks forgive you

1 the mortgage payments during the off-peak period?

2 A I guess you're using banks giving the
3 mortgage payments as a representative of our financing
4 situation.

5 Q Yeah.

6 A And the cost of those plants continues
7 regardless of whether there is off-peak usage or not.

8 Q And the tax collector doesn't reduce your
9 taxes, does it?

10 A No.

11 Q They continue to wear out, don't they?

12 Q And the shareholders in your company still
13 want a return?

14 A That's correct.

15 Q Now some production and transmission costs go
16 away, those costs that would be variable operating
17 costs. But the fixed costs stay whether the customer
18 is buying electricity or not?

19 A That's right.

20 Q So when you design things like the SE rate,
21 that's a way to get in or encourage people to buy
22 electricity during the off-peak period in order to pay
23 for the fuel and get some additional contribution to
24 your capital cost?

25 A That's correct.

1 Q And I presume those are people who might not
2 buy electricity otherwise and people you can kick off
3 the system if your other customers need that power,
4 isn't that right?

5 A That's right. They have that understanding.

6 Q Now that SE service, that's available to
7 every person that can take advantage of it, I guess, in
8 the industrial class, or who is it available to?

9 A It's available to all customers in the
10 LP/LPT, PX andPXT classes, which is everybody above 500
11 kilowatts.

12 Q And when they buy that electricity, it's
13 beneficial to your Company?

14 A Absolutely.

15 Q Now if you have a cogeneration customer who
16 -- I guess it's not -- you don't have a pure --
17 generally you don't have a pure cogeneration customer
18 who either is solely standby, but you have people who
19 have mixed use. Some of them, they serve part of their
20 load with cogeneration and part with buying electricity
21 from Gulf, is that correct?

22 A We have customers that have mixed use, and we
23 actually, on our system, have one customer that is 100%
24 standby.

25 Q I see. And one of these mixed use customers,

1 for their regular load they have SE service available
2 to them; they can use more electricity during the SE
3 period, is that right?

4 A That is correct. And some of our customers
5 that have mixed generation and purchase power, if you
6 will, are signed up for SE and some are not.

7 Q Okay. Now, if one of the customers is
8 eligible for SE also has cogeneration, and he loses a
9 cogenerator during an SE period, he's got -- at that
10 point in time he can't use SE, anymore, is that the
11 deal?

12 A He becomes a standby customer at that time.

13 Q And so to that extent, the industrial
14 customer or the cogeneration is cut off when an
15 industrial customer who doesn't have cogeneration could
16 continue to buy SE power, he's cut off unless he's
17 willing to pay more for standby power?

18 A That's correct.

19 Q When you contested Mr. Kisla's math, I guess,
20 and he gave a hypothetical, and on Page 26 of your
21 rebuttal, Mr. Kisla, in his Exhibit 610, assumed that
22 supplementary service contract capacity cannot be used
23 as a substitute for standby service capacity. Is that
24 what he assumed?

25 A That appears to be what he assumes, yes.

1 Q Did you hear Mr. Kisla's testimony that the
2 scenarios portrayed in Exhibit 610 represent average
3 conditions and not necessarily peak conditions?

4 A I really did not hear that particular part of
5 his testimony. I heard some of it, but I didn't hear
6 that particular part of it. But if you say he --

7 Q Are you contending he didn't say that or --
8 sometimes it passes over me.

9 A No, I'm not contending he didn't say that.
10 And if you say he did, I'm sure he did.

11 MR. McWHIRTER: Subject to check.

12 COMMISSIONER EASLEY: Is that factual or
13 mathematical?

14 Q (By Mr. McWhirter) Well, let's assume a
15 cogeneration customer has a supplementary contract of
16 15 megawatts and the customer routinely uses 15
17 megawatts during the month. If the customer sustains
18 an outage, as a result, the customer then imposes 20
19 megawatts of demand during the outage period, is it
20 your testimony that the customer has used more than
21 five megawatts of standby power, if that customer is a
22 cogeneration customer?

23 A If he has been running 15 megawatts, he has a
24 supplementary contract of 15?

25 Q Yeah.

1 A And he loses generation?

2 Q Uh-huh.

3 A And he goes to 20 megawatts?

4 Q Yeah.

5 A What, just to have the complete picture so
6 we'll have all the cards we have to deal with, what was
7 his standby contract and how much generation did he
8 lose?

9 Q Well, say he had a standby contract for 15
10 and he had cogeneration of 10. And he lost 10.

11 A He lost 10.

12 Q Uses 20.

13 A And he used 20?

14 Q Uh-huh.

15 A And that's -- and so he must have had five
16 megawatts of load reduction at the time that he lost
17 the 10, or he would have gone up -- if he was using, if
18 his load was 15 and he had 10 megawatts of generation,
19 that means the plant load was 35 megawatts.

20 Q Let's use your Schedule 6 and that will be
21 easier to follow. And that scenario, he had self
22 generation of 14 and 5, 14.5?

23 A Okay.

24 Q Well, I guess in this one he had cogeneration
25 of 26.5 and lost a cogenerator, is that what's

1 happening? Or he had 27 and then lost the cogenerator?

2 Explain your schedule to me.

3 A Are you looking at Kisla's exhibit, or are
4 you looking at mine?

5 Q No, I'm looking at your Schedule 8, in your
6 rebuttal exhibit.

7 A Okay.

8 Q Let's just take Column A and the winter
9 outage.

10 A Okay. Column A and the winter outage, his
11 self-generation is 14.5. His supplementary is 10. And
12 his standby is 12.5. And he has a load reduction, as
13 we were talking earlier, of five megawatts. Leaving
14 the sum of 42, as Mr. Kisla had in his table.

15 Q Now his contention in his exhibit, I believe,
16 was that he only had 7.5, he had only triggered 7.5
17 megawatt of standby, and you say he triggered 12.5? Is
18 that where you reach your dispute?

19 A That's correct. Because he took an
20 additional supplementary capacity up to his contract
21 capacity as supplementary rather than taking standby
22 for that. And under the present rules, that's not
23 allowed.

24 Q That was the problem, I think, we were having
25 with it. He said, "If I have a contract of

1 supplementary power for 15 megawatts, why do I only get
2 credit for 10 megawatts in your schedule, rather than
3 15 that I actually have a contract for?"

4 A Because supplementary and standby, in
5 essence, stand alone. And he cannot use any additional
6 capacity available to him under his supplementary
7 contract as standby.

8 Now, you know, if he were allowed to do that,
9 he would pay for it just that month and would not pay
10 for it in the future. But under the standby tariff,
11 and as the standby rules are structured, standby is
12 standby and he cannot dip into his supplementary
13 contract in order to take care of his standby. They
14 stand alone.

15 Q So what you're telling me is if he has a
16 contract for 15 megawatts and pays each month for 15
17 megawatts of supplementary power under that contract --

18 A He doesn't pay for 15 megawatts under the
19 contract unless he uses it.

20 Q Okay, say he has used it during the month.

21 A Okay.

22 Q And so he's triggered the demand for that
23 month. He's got to pay for that, but he only gets
24 credit for 10 of the 15 that he's paid for in the event
25 he loses a cogenerator.

1 A Well, if his max demand for the month was
2 already -- or supplementary -- was already established
3 at 15, that's what he would pay for for supplementary.

4 Q That's right. But it wouldn't reduce his
5 standby charge, and he'd still have to pay for 12.5 of
6 standby rather than 7.5, wouldn't he?

7 A That's correct.

8 Q You would only give him credit, in
9 calculating standby, you would only give him credit for
10 10 of the supplementary he paid for.

11 A That's correct.

12 Q So in that month he got to pay twice for the
13 same five megawatts, once as standby power and once as
14 supplementary power?

15 A He took it at different times. He set his
16 peak demand where he established the 15 megawatts at
17 one time during the month, and his standby service, by
18 definition, had to occur at some other time or he would
19 not have been able to have that much load.

20 Q What is --

21 A Standby is done on an interval-by-interval
22 basis, whenever it occurs throughout the month.
23 Whereas supplementary, under the tariff, is based on
24 the peak demand established during the period when
25 standby is not taken.

1 COMMISSIONER EASLEY: Could I ask a question?

2 MR. McWHIRTER: Yes, ma'am.

3 COMMISSIONER EASLEY: Is there a period of
4 time at which he will never be able to actually utilize
5 all of the power available to him either under stand by
6 or supplemental because of this stand-alone part of it?

7 WITNESS HASKINS: No, there is no time when
8 he cannot use all the power that's available to him.
9 And he will pay for it either under supplementary or
10 standby during that month. But he may -- and I think
11 the difficult situation to conceive of is that
12 supplementary billing demand is based on the maximum
13 demand established during any 15-minute period of the
14 month, regardless of when it occurs.

15 COMMISSIONER EASLEY: Okay.

16 WITNESS HASKINS: Unless he's taking standby
17 during that time. And then during this period a
18 customer has declared he's taking standby --

19 COMMISSIONER EASLEY: For that 15 minutes?

20 WITNESS HASKINS: Yeah, for that 15 minutes
21 or any combination of the 15 minutes, the standby
22 tariff then prevails.

23 COMMISSIONER EASLEY: All right. The only
24 way then he gets to the supplemental is having used up
25 the 15 minutes of standby?

1 MR. McWHIRTER: I don't think that's quite
2 right.

3 WITNESS HASKINS: No.

4 COMMISSIONER EASLEY: It's getting very
5 confusing the way you two are doing this.

6 WITNESS HASKINS: Well, that's because it is.

7 COMMISSIONER EASLEY: Oh, okay.

8 WITNESS HASKINS: Don't feel badly.

9 Q (By Mr. McWhirter) Let's look at it from the
10 view of the demand on your system. And during the
11 month, using supplemental service, he puts 15 megawatts
12 of demand on your system. So now he's going to pay for
13 that 15 megawatts for the rest of the month?

14 A He's going to pay for it for that month.

15 Q For that month. Okay. Then he comes along
16 and he drops a generator. And I'll use a hypothetical
17 because I can't quickly run through the math. He drops
18 a generator and he also reduces his load, so that the
19 demand he places on your system continues to be 15
20 megawatts. Is he going to trigger, in addition to the
21 15 megawatt supplemental demand charge, now a standby
22 charge for whatever it was he dropped in that
23 generator, less whatever he could reduce it by, his
24 load reduction?

25 A To try to clarify that, let me see if I can

1 take just a minute and construct what would take place
2 on the billing for an interval where he had this
3 standby situation you're talking about. (Pause)

4 In a period of time when you have SS declared
5 and in your case where you had 15 megawatts was the
6 supplementary, and maybe he was running 15 megawatts at
7 supplementary just before he had an outage, and if his
8 load went up to 20 megawatts, then the customer
9 declares standby and tells us how much standby he's
10 taking, because you see, we have no way of knowing how
11 much standby he is taking. The customer has to tell us
12 that, because the standby is a combination of what his
13 outage was and the load reduction that he accomplishes.
14 So the customer tells us how much standby their taking.

15 Q Does he tell you how much standby he's taking,
16 or does he tell you his generator was down?

17 A He does both. He tells us the generator is
18 down and then he has to notify us how much he is taking
19 as standby.

20 Q Let's visualize. He's taking 15, and he loses
21 a generator. So he reduces his plant operations to the
22 degree that he's still only taking 15.

23 A Okay, and he lost a 10-megawatt generator?

24 Q He's lost a 10-megawatt generator, and he's
25 never incurred any standby requirement before. He

1 tells you at that point in time, "I have lost my
2 generator, but I don't want to declare standby because
3 I haven't placed anymore than 15-megawatt demand on
4 your system." In that scenario, as I understand it,
5 you would still charge him a reservation fee based on
6 10 megawatts.

7 A No, that's not correct.

8 Q Okay.

9 A If his load does not go up, he does not have
10 any standby.

11 Q Okay. What if he's load went up by -- he
12 dropped a 10-megawatt generator and his load went up by
13 five megawatts, would you charge him for five more, or
14 would you charge him for ten more on standby?

15 A He would report standby of five megawatts.

16 Q Even though he dropped a 10-megawatt
17 generator?

18 A Because he would have a load reduction of five
19 megawatts that would offset that. And that's an
20 opportunity that he has. The standby service that he's
21 taking is just that. It's the standby service taken.
22 It's not how much the generator outage is, and I think
23 that's an important consideration.

24 One of the things in the standby rate docket
25 was that cogenerators were concerned about load

1 following generation, but the other side is also true,
2 that the amount that they're able to reduce their load
3 when they have an outage to minimize their standby.

4 COMMISSIONER EASLEY: Wasn't one of the
5 glitches that came in the testimony, though, that he
6 didn't know he had to notify you or request standby,
7 and that was --

8 WITNESS HASKINS: In that particular case.

9 COMMISSIONER EASLEY: And that was part of the
10 confusion as well, I think, in getting to this error
11 factor, isn't that correct?

12 WITNESS HASKINS: Because I think that in this
13 particular case, the customer that we were -- Mr. Kisla
14 was talking about, that if they had realized how it
15 worked, they could have curtailed some load in the
16 plant to minimize the amount of standby that they had
17 to declare, whereas they --

18 COMMISSIONER EASLEY: How much does that
19 affect, though, the discussion, because we are trying
20 to come back to that five megawatt error, and does that
21 affect trying to get back to that?

22 WITNESS HASKINS: If the customer's load goes
23 up five megawatts as a result of a 10-megawatt
24 generator outage, because he was able to reduce his
25 internal plant load by five megawatts, then all he pays

1 for is five megawatts at standby, because that's all
2 that hit our system. If he's able to take 10 megawatts
3 off, when he loses a 10-megawatt generator, then he has
4 no standby to pay for it at that time.

5 Q (By Mr. McWhirter) Let me give it to you one
6 more way.

7 A All right.

8 Q Go to your Schedule 6 and look at the winter
9 outage columns. Stone would purchase between 12-1/2
10 megawatts and 17-1/2 megawatts at standby power, is
11 that correct?

12 A Yes.

13 Q Now, if Stone had already, during that month,
14 imposed a 15-megawatt supplementary demand on your
15 system, as it regularly does, would Stone be charged
16 for 27-1/2 megawatts, which would be the 15 that it had
17 previously been charged for a supplementary service,
18 plus the new 12-1/2? (Pause) Stone has reduced its
19 load to 10 from the regular 15. (Pause)

20 A I think that one of the things that you have
21 to consider in looking at this is that it's our
22 understanding of Mr. Kisla's exhibit, he was not
23 talking about a previous time period, as something that
24 happened in that same month. If you look at what
25 happened at this time period at this hour or this

1 interval, his supplementary at that time was 10 and he
2 had an outage, and so his standby was 12-1/2.

3 Q What if it was 10 because he had reduced his
4 load by five?

5 A If it was 10 because he had reduced his load
6 by five, then -- I'm consulting with my billing expert
7 here. (Pause) I think the thing that we're missing on
8 the standby calculation is that looking at what
9 happened at that moment, there is no way for us to tell
10 the amount of standby that the customer is taking at
11 any interval without looking somewhere else.

12 Q Yeah.

13 A And he has to tell us how much that is at that
14 time, and there's no other way to do it.

15 Q So what you're telling me is that at -- at
16 Column A there under winter outage, the demand his
17 placed on your system is only 22.5, 10 supplementary
18 and 12-1/2 standby?

19 A That's right.

20 Q And if he tells you that the standby is not
21 12-1/2, but is only 7-1/2 standby and 15 supplementary,
22 and you're only going to charge him for 2.25, but if he
23 tells you that, "My 12-1/2 megawatt generator is down,"
24 but forgets to tell he's reduced his load, otherwise,
25 you're going to charge him that month for 27.5, because

1 he previously incurred 15 megawatts in supplementary
2 service?

3 A I'm not following your proposition.

4 Q Too many ifs?

5 A Yes.

6 Q You wouldn't want to charge him for more than
7 22-1/2 megawatts, if that's all the demand --

8 A In this particular interval?

9 Q Yeah.

10 A That's correct, here. We would charge him --
11 we would charge 10 megawatts supplementary and 12-1/2
12 megawatts of standby, and we would not charge him 15
13 megawatts of supplementary and 12-1/2 megawatts of
14 standby.

15 Q These are one of the communication problems.

16 A That's right.

17 Q So what's happened is a 12-1/2 megawatt
18 generator went down, but he could have told you, as he
19 should have if he had known the rule, that, "I've only
20 used 7-1/2 megawatts of standby power, and I want you
21 to charge the other to my supplementary service since
22 I've already incurred a 15-megawatt demand during this
23 month," and that would okay?

24 A No, he has to tell us how much his generator
25 went down and how much load reduction was so that --

1 and we know how much his standby was. Now, we may be
2 getting to the same place, but that's not the way --
3 the numbers are going to come out the same, but that's
4 not what he has to tell us.

5 Remember, we have the power going through one
6 meter, and all we know is what that meter records. And
7 we have to have the customer tell us what his standby
8 requirements are, notify us of an outage, first notify
9 an outage, how much the standby requirements were and
10 how much the load reduction was. And we have one other
11 piece of information that we then use at the end of the
12 month to make a reasonableness test on that, and it is
13 we have the generation meter.

14 COMMISSIONER BEARD: Let me try this from a
15 different angle, and I understand the math he's doing.
16 At the point in time that he's talking about where
17 you've got -- they were using 15 megawatts, they had
18 this 12.5-megawatt outage, they reduced their
19 supplementary use by five megawatts. You've now got
20 22.5 megawatts of demand going through that meter.

21 WITNESS HASKINS: Right.

22 COMMISSIONER BEARD: Okay. A combination of
23 supplementary and standby. Now, previous in that
24 month, when they were just trucking along and
25 everything was peachy keen, they had put a previous

1 supplementary demand of 15 megawatts, okay?

2 WITNESS HASKINS: That's right.

3 COMMISSIONER BEARD: Would be their high
4 supplementary demand for that month. Now, at the end
5 of the month, okay, how are you going to charge them
6 for demand?

7 WITNESS HASKINS: They're going to pay for 15
8 megawatts of supplementary based on what happened at a
9 time when their generator was not out, because they
10 took that as firm service, which they're obligated to
11 pay for just that month under the tariff. Then we look
12 at the interval where -- or the intervals in demand
13 where they had the outage.

14 COMMISSIONER BEARD: Uh-huh.

15 WITNESS HASKINS: And we make a stand-alone
16 calculation there as to how much standby they owe us
17 for that period of time.

18 COMMISSIONER BEARD: And the net effect of
19 that is that they will pay you for 15 megawatts of
20 supplementary demand and 12.5 megawatts of standby
21 demand, based on that stand-alone, 22.5 minus the 10?

22 WITNESS HASKINS: That's right.

23 COMMISSIONER BEARD: So the net effect is they
24 pay you in that month for 27.5 megawatts of demand, if
25 you sum the two?

1 WITNESS HASKINS: Yeah, that's correct,
2 because there's two different classes of service.

3 COMMISSIONER BEARD: Did I get you there?

4 MR. McWHIRTER: That's it exactly.

5 WITNESS HASKINS: It's two different classes
6 of service.

7 COMMISSIONER BEARD: I understand that, and
8 I'm not sure -- I'm still not sure you aren't doing
9 apples and oranges because you're summing the two.

10 MR. McWHIRTER: I'm what?

11 COMMISSIONER BEARD: You're summing the two,
12 15 plus 12.5, okay? And they're two different classes
13 of service. Is the reservation charge for the 12.5
14 megawatts exactly the same as the supplementary demand
15 charge?

16 WITNESS HASKINS: Absolutely not. It's much
17 less than that. The reservation charge is 10%. It's
18 based on 10% of the demand cost.

19 COMMISSIONER BEARD: So you would not sum the
20 two?

21 WITNESS HASKINS: No.

22 COMMISSIONER BEARD: Okay, which is what you
23 were doing.

24 MR. McWHIRTER: No, the maximum demand he
25 would have placed on your system during that month, if

1 we look at your side of the meter, is 22-1/2 megawatts,
2 but because of the peculiarities of the tariff, you
3 will charge him for 15 megawatts of supplementary
4 service and 12-1/2 megawatts of standby service, so he
5 will pay for 27-1/2 megawatts of service of demand?

6 (Simultaneous conversation)

7 COMMISSIONER BEARD: Let me finish my thought,
8 because I have been listening to you guys, and I
9 really would like to go on. The 15-megawatts
10 supplementary demand -- you pay 15 megawatts of
11 supplementary demand. You correct me if I am wrong,
12 Jack. If the 12-5 megawatts associated with a
13 reservation charge, you're telling me that that is
14 actually based on 10% of demand of 12.5 megawatts?

15 WITNESS HASKINS: It's based on a 10% -- 10%
16 of the unit cost because it's 10% probability of being
17 on peak, so it's discounted to 10%.

18 COMMISSIONER BEARD: So you take the typical
19 demand charge that you would have, and you discount it
20 to 10%?

21 WITNESS HASKINS: No.

22 MR. McWHIRTER: You're getting into a pricing
23 concept there.

24 WITNESS HASKINS: It's the unit cost of
25 production and transmission.

1 COMMISSIONER BEARD: I'm trying to get down to
2 what you've got to pay. Okay, that's what you care
3 about, isn't it, how many dollars come out of your
4 pocket?

5 MR. McWHIRTER: That's right.

6 COMMISSIONER BEARD: I thought so.

7 MR. McWHIRTER: And you have to pay it for 23
8 more months.

9 COMMISSIONER BEARD: And all I want to know
10 is, is based on the standby 12.5 megawatts, the cost of
11 that to the customer as opposed to 12.5 megawatts of
12 supplementary demand; what's the difference?

13 WITNESS HASKINS: The supplementary demand for
14 the PXT rate is -- or the PX rate -- is \$7.55 per
15 kilowatt.

16 COMMISSIONER BEARD: Okay.

17 WITNESS HASKINS: The reservation charge is 98
18 cents per kilowatt.

19 COMMISSIONER BEARD: That's 13%. So you're
20 paying 13% of the demand, typical demand charge?

21 WITNESS HASKINS: And what you do is you take
22 -- you calculate the reservation charge, which is times
23 the contract capacity, maybe 15 megawatts of backup,
24 and times 98 cents, and you take a daily demand charge
25 for -- this class of customer would be 42 cents per

1 kilowatt per day. So, actually, he uses -- if he used
2 that standby only one day, he would just pay 42 cents
3 per kilowatt. And if he used it two days, he would pay
4 84 cents per kilowatt. Until he then -- so you can see
5 after three days, he's up to where he's better off to
6 pay the reservation charge. But, the price is
7 discounted.

8 Q (By Mr. McWhirter) Unless he has incurred
9 that reservation charge, he pays it for how many
10 months?

11 A 23 months.

12 Q But the demand on your system is not 27
13 megawatts; the demand on your system would only be
14 22-1/2?

15 COMMISSIONER BEARD: That's right.

16 WITNESS HASKINS: That's right. That's right.

17 Q (By Mr. McWhirter) I handed you a copy of
18 Exhibit 611, which Mr. Kisla used and said reflected
19 that event in September of 1989, where we had the
20 mistake problem.

21 A Right.

22 Q And as a result of that, you'll see there the
23 peak, at the bottom of this exhibit you'll see a line,
24 that's the SE period.

25 A Right.

1 Q And then you'll see a peak about halfway over
2 on that exhibit where he went to the 22 megawatts, and
3 for that he said he paid \$60,000.

4 If the Staff's proposal is correct, for that
5 one-time use for -- what would be the duration of that
6 use according to that graph? A couple of hours?

7 A Let's see. These are -- I can't see the
8 indicator there.

9 Q 15-minute intervals at the bottom.

10 A It looks like it's probably a couple of
11 hours.

12 Q And that inadvertent use under the Staff
13 analysis would cost them around \$300,000, the 60 plus
14 another 249,000?

15 A I don't -- the \$249,000 doesn't sound right.
16 We made a calculation of that for the --

17 Q Prehearing Order I saw something about
18 \$249,000 in revenues that you didn't book, they were
19 charging you for. That's not this \$249,000?

20 A Let me check that. (Pause)

21 There are two aspects of that. The original
22 bill under rate PXT was -- and I'm looking at my
23 deposition exhibit, Late-Filed Exhibit No. 15, hearing
24 Exhibit No. 289. The original bill for September of
25 1989 was 381,894.87. The -- for the month of -- and

1 the new PXT bill for that month, actually goes down
2 because part of it becomes standby to 351,099.63, along
3 with a standby service bill of 13,826.42. And if you
4 consider the effect of that SS demand that is then
5 established in that month, you know, as a result of
6 20/20 hindsight and some degree of speculation, I
7 guess, the total revenue effect in 1989 for September,
8 October, November and December is \$17,011.52. And then
9 for 1990 through the first three months is 16,325.35.
10 So I really don't know where that \$240,000 came from.

11 Q What does the Staff want you to deduct your
12 revenues by as a result of not collecting money from
13 those customers, was what I was trying to get at.

14 A Well, based on this exhibit, it would be a
15 total of about \$33,000.

16 Q Okay. And that's because through our
17 mistake.

18 A Right.

19 Q I have no further questions.

20 CHAIRMAN WILSON: Mr. Palecki.

21 CROSS EXAMINATION

22 BY MR. PALECKI:

23 Q Mr. Haskins, correct me if I'm wrong, but in
24 your earlier testimony in this proceeding, I believe
25 you stated that if time-of-use customers shift all

1 their use off peak, they are not paying their fair
2 share of cost because there is some production in
3 transmission costs associated with off-peak usage. Is
4 that correct?

5 A No, I didn't say that with regard to my
6 rates. I said that with regard to the rates that Mr.
7 Wright would propose.

8 Q Do you agree with that as a statement of
9 philosophy that if time-of-use customers shift all of
10 their use off peak, they are not paying their fair
11 share of costs because there is some production and
12 transmission cost associated with off-peak usage?

13 A No, I would not agree with that.

14 Q And why not?

15 A As I --

16 Q What was it that you testified to earlier? I
17 thought that's what you had said earlier in your
18 testimony.

19 A I said that with regard to Mr. Wright's rate
20 design where he included no production and transmission
21 cost in the off-peak pricing. In our rates we do have
22 some demand-related production and transmission cost in
23 the off-peak period.

24 Q And why did you say Mr. Wright's proposal was
25 inappropriate?

1 A Because he has no -- as I understand his
2 proposal, he has no production and transmission related
3 cost in his off-peak price. He would only charge
4 what's equivalent to our proposed local facilities
5 charge.

6 Q And in your rates as you've designed them,
7 you don't have any similar situation?

8 A No.

9 Q Isn't it true that the SE PXT customers don't
10 pay any costs for production, transmission and
11 distribution plant for off peak that is used -- that is
12 off peak during the SE periods?

13 A If you look at the months billing, they
14 always pay a demand -- a full allocated demand charge
15 for production, transmission and distribution plant as
16 appropriate during any billing month. Because we never
17 have a month that is entirely SE. There is always some
18 time during the month where they will establish a
19 non-SE demand to be used for billing of the standard
20 tariff.

21 Q Well, that's my point. There is no demand
22 charge in the SE, the off-peak hours, correct? And if
23 a customer were able to design their use so that they
24 were within all of those hours, those off-peak hours,
25 the SE hours, they would pay absolutely no demand

1 charges, is that correct? They pay nothing at all for
2 transmission, distribution, production plant?

3 A If you had such a strange customer that they
4 were able to, by some magic, tailor their loads such
5 they were always only in SE periods, recognizing that
6 SE periods are flexible time periods, solely at the
7 discretion of the Company. In that extreme
8 hypothetical that would be the case. But the SE was
9 not designed on that premise; it never took place
10 during the entire two-year test period and it has not
11 taken place since, and we never expect it would, and if
12 it happened, we probably would want to make some
13 modification to that.

14 Q Can you reconcile your position on rate
15 design with respect to off-peak costs for time-of-use
16 customers with set off-peak hours versus those with
17 flexible off-peak hours?

18 A Keep in mind that the flexible time periods
19 are just that and are solely at the option of the
20 Company, whereas -- and they are unpredictable from the
21 customer's viewpoint. Whereas, the fixed time period
22 time-of-use rates that the Company has are predictable
23 to the customer, and I suppose it is somewhat more
24 conceivable that a customer could tailor his operation
25 purely to match the time-of-use periods in our

1 time-of-use rates, then he could under the SE tariff.
2 However, I think that, too, is very likely; but,
3 nevertheless, since that is predictable, known in
4 advance, then it is conceivable that the customer could
5 do that.

6 Q Would it be true that if demand charges are
7 set below unit cost in this docket, that a portion of
8 the demand-related transformation cost would be
9 recovered through the energy charge under the rate?

10 A Yes.

11 Q Therefore, in order to develop proper voltage
12 discounts, the energy charge would also need to be
13 discounted in order to reflect the transformation cost
14 being allocated by the energy charge, correct?

15 A Yes, it would. And you just reminded me of
16 something, too, with regard to the SE rate.

17 To the extent that demand charges on the
18 standard rate -- or demand costs, rather, on the
19 standard rate -- are recovered through the energy
20 price, then even your hypothetical, very extreme SE
21 customer that was all in the off-peak period would be
22 paying some -- excuse me, in a non-SE period. No. The
23 hypothetical customer that was all in SE periods would
24 still be paying some portion of demand charges because
25 he pays the full energy charge. There is no reduced

1 energy price for SE customers. It only is demand price
2 forgiveness. (Pause)

3 Q Isn't it true that for the PXT the demand
4 charge has been set at the full demand unit cost?

5 A I don't believe that's correct, but before I
6 give a definitive answer I'll need to take a look at
7 the, you know, cost sheet.

8 Q Wouldn't you have to look at the unit cost
9 sheet from the last rate case?

10 A Which one are you asking about, the last one
11 or this one?

12 Q Well, the rates haven't been set yet in this
13 particular case.

14 A We'll look at the unit cost sheet for present
15 rates. (Pause)

16 The present -- just look at proposed. I
17 don't have the present rate unit cost sheet handy.

18 The unit cost for a PXT is \$8.59 for demand,
19 and our proposed rates filed are -- under the no
20 migration study, that's the cost of service unit cost
21 you have been looking at -- is \$8.26. So you've got
22 the difference between 8.26 and 8.59 in the energy
23 price.

24 Q That's based on this filing, correct, not on
25 the unit cost from the last filing?

1 A That's correct. This is the case we're in
2 now.

3 Q On Page 21, Line 7 through 12 of your
4 rebuttal testimony, you state that "An increase in a
5 specific rate does not lead to the conclusion that
6 differences between voltage classifications should
7 increase accordingly."

8 Has Dr. Johnson made this assumption in his
9 testimony? (Pause)

10 A Did you ask a question?

11 Q Yes. The question was, has Dr. Johnson made
12 that assumption in his testimony?

13 A No. Dr. Johnson did not make that proposal.

14 Q What is the impact of this assumption?

15 A Well, that would say, for example, if you
16 were proposing to change a demand charge from \$6.25 to
17 \$8.50, that whatever that percentage increase is you
18 would increase your voltage by the same amount without
19 any regard to the cost basis for the voltage discounts.
20 And we don't think that's appropriate.

21 MR. PALECKI: Thank you. We have no further
22 questions.

23 CHAIRMAN WILSON: Any on redirect?

24 CHAIRMAN WILSON: Any on redirect?

25 MR. STONE: Briefly

REDIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. STONE:

Q Mr. Haskins, you were asked an extensive number of questions regarding your Schedule 6. Was your testimony in your calculation of the numbers in Schedule 6 meant to demonstrate what would be required under Commission policy and rules?

A Yes.

Q Is it necessarily the position of the Company that this policy or these rules are the best policy for this situation?

A No. It's not. It's what we're having to deal with now; and it has been an evolving process as to how to determine the appropriate standby capacity. And I don't think we are at the best policy.

Q I would now like to direct your attention to Exhibit 611. I believe Mr. McWhirter handed you a copy of that exhibit. Do you still have it with you?

A Yes.

Q Mr. Wright testified that SE would not constitute an interruptible rate as that term is defined by this Commission. I assume you agree with that statement?

A Yes. As very narrowly defined by the Florida Commission.

1 Q Does this exhibit demonstrate the curtailable
2 aspect of the SE rider, based on the economics?

3 A Yes. It does. It demonstrates the economic
4 switch that we have talked about where, as you can see,
5 at the end of that SE period that occurs just to the
6 left of the center of the page that when the customer
7 was notified that SE was going to be terminated and got
8 to the point where it was terminated, he reduced his
9 load drastically in about a half-hour period of time
10 there, it looks like.

11 Q And what was the reason for -- what typically
12 is the reason for declaring the end of an SE period?

13 A Typically, it is based on predictions of
14 increased load on the system such that a system peak or
15 a Southern peak might be established.

16 Q Based on the typical reason for curtailing or
17 ending an SE period, would the load of this customer,
18 as demonstrated by Exhibit 611, have been on the
19 Company -- Gulf's or Southern's -- system peak,
20 whichever was coming into play when the period was
21 declared to be at an end?

22 A No.

23 Q Does that mean then that the demand
24 established during the SE period did not contribute to
25 Gulf's or Southern's system peak?

1 A It means very definitely that demands did not
2 contribute to the peak.

3 Q The demands during the SE period?

4 A During the SE period, that's right. Because
5 it is operated so that it cannot and this is a
6 demonstration of that.

7 Q And in terms of the issue regarding recovery
8 of production plant, I believe you have testified that,
9 in fact, the energy rate during an SE period is the
10 actual full energy charge that would be incurred at any
11 other time?

12 A That is correct.

13 Q Does that include the component for
14 production plant?

15 A It does to the extent that the full demand
16 charge is not recovered -- excuse me, the full demand
17 cost is not recovered through the demand component of
18 the rate.

19 Q Does this overcome the problem that you have
20 identified with Mr. Wright's proposal for time-of-use
21 rates?

22 A Yes.

23 MR. STONE: That completes our redirect. I'm
24 sorry, one last question.

25 Q Mr. Haskins, are you familiar with the

1 Commission's rules for the determination of cost
2 effectiveness in terms of the conservation program?

3 A Yes.

4 Q Is it -- what is your understanding regarding
5 the majority of the benefit as far as whether it's on
6 demand savings or energy savings?

7 A It is my understanding that it is primarily
8 under the current situation on demand savings.

9 MR. STONE: Thank you, that completes my
10 redirect.

11 CHAIRMAN WILSON: Thank you. Nothing
12 further, he may be excused. Thank you very much, Mr.
13 Haskins. Call your next witness.

14 (Witness Haskins excused.)

15 MR. STONE: The next witness would be Mr.
16 Parsons. (Pause)

17 MR. BURGESS: Commissioners, if we're not on
18 a break, I might as well try to take care of this
19 little piece of business. As I understand it, the
20 exhibit that's attached to Mr. Wright's rebuttal
21 testimony was not identified with an exhibit number at
22 prehearing, I think. And therefore, I would ask that
23 it be given an exhibit number and entered into the
24 record.

25 CHAIRMAN WILSON: That would be Exhibit No.

1 616. Do you think it's been numbered already?

2 MR. BURGESS: Okay.

3 MR. VANDIVER: I'm not certain.

4 CHAIRMAN WILSON: Wait just a moment, Mr.
5 Pruitt, we'll check it.

6 MR. BURGESS: I couldn't find it in the
7 Prehearing Order.

8 MR. VANDIVER: No, we don't have it.

9 CHAIRMAN WILSON: That would be Exhibit 616.
10 Without objection, it's admitted into evidence.

11 (Exhibit No. 616 marked for identification
12 and received in evidence.)

13 MR. HOLLAND: And, Mr. Chairman, while we're
14 doing that type thing, I can't recall and Mr. Burgess
15 does not either whether I had, in fact, moved in
16 Exhibit 583, which was the composite exhibit relative
17 to have Plant Scherer. I'd like to move that at this
18 time.

19 CHAIRMAN WILSON: I don't believe you did.
20 All right.

21 MR. BURGESS: I told him he had and not to
22 worry about it. (Laughter)

23 CHAIRMAN WILSON: Without objection, that is
24 admitted into evidence, 583.

25 (Exhibit No. 583 received in evidence.)

1 CHAIRMAN WILSON: Any time you're ready.

2 EARL B. PARSONS, JR.

3 appeared as a rebuttal witness on behalf of Gulf Power
4 Company and, after being previously duly sworn,
5 testified as follows:

6 DIRECT EXAMINATION

7 BY MR. HOLLAND:

8 Q Mr. Parsons, you have been previously sworn
9 and have previously testified, have you not?

10 A Yes. I have.

11 Q And have you filed in the docket rebuttal
12 testimony entitled, "The Rebuttal Testimony of Earl B
13 Parsons, Jr."?

14 A Yes. I have.

15 Q Do you have any corrections to that
16 testimony?

17 A No, sir.

18 Q If I were to ask you the questions today
19 contained in that testimony, would your answers be the
20 same?

21 A Yes.

22 MR. HOLLAND: Mr. Chairman, we would ask that
23 Mr. Parsons' rebuttal testimony be inserted into the
24 record as though read.

25 CHAIRMAN WILSON: His testimony will be so

NOTE: Page No. 3436 inadvertently omitted in numbering.

1 inserted into the record without objection.

2 MR. HOLLAND: I think all his rebuttal
3 exhibits have been premarked and already entered

4 (Exhibits previously stipulated into
5 evidence.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

GULF POWER COMPANY

Before the Florida Public Service Commission
Rebuttal of
Earl B. Parsons, Jr.
In Support of Rate Relief
Docket No. 891345-EI
Date of Filing May 21, 1990

Q. Are you the same Earl B. Parsons, Jr. who testified earlier in the proceeding?

A. Yes, I am.

Q. What is the purpose of your testimony?

A. The purpose of my testimony is to rebut the testimony of Mr. Schultz, Mr. Larkin, and Mr. Rosen and the positions taken by them with respect to issues raised in this proceeding.

Q. Mr. Parsons, the Commission Staff and Office of Public Counsel have taken the position that Plant Scherer Unit 3 capacity should not be included in rate base. What is your response?

A. Gulf is deeply disturbed by the position taken by the Staff regarding exclusion of Scherer 3 capacity in the rate base. Also related to Scherer, Mr. Rosen has filed testimony for the Office of Public Counsel that, if followed by this Commission, will prove extremely

1 detrimental and harmful to the long-term best interests
2 of the customers which we serve in Northwest Florida.

3 I have been at Gulf Power Company since early
4 1978, when the Scherer capacity was first considered as
5 a cost-effective alternative to continuing construction
6 at the Caryville site. I personally participated in
7 the October 1978 workshop before the Florida Public
8 Service Commission at which time we presented our
9 proposal for cancelling Caryville and acquiring the
10 capacity at Scherer.

11 I have presented extensive testimony to this
12 Commission in four rate cases and attended a number of
13 Planning Workshops and Planning Hearings at which our
14 plans have been fully discussed with the Commission.
15 In every one of these instances, there has never been
16 any concern expressed on the part of the Commission
17 regarding the prudence of acquiring Scherer. If there
18 was a concern, it was that we might not be able to
19 acquire the Scherer capacity. The Commission felt so
20 strongly that we should make this purchase that it
21 held, subject to refund, our write-off of the Caryville
22 cancellation costs approved in Order No. 9628, pending
23 completion of a contract with Georgia to acquire
24 Scherer. Order No. 9628, Docket No. 800001-EU, Order
25 No. 10557, Docket No. 810136-EU, Order No. 11498,

1 Docket No. 820150-EU and a follow-up order issued on
2 May 15, 1984 address these issues.

3 We have on any number of occasions, both formally
4 and informally, presented our plans regarding our
5 capacity expansion and our off-system sales before the
6 Commission. It has been shown from the beginning that
7 Scherer capacity would eventually come back to our
8 territorial customers. Some of that capacity is
9 available for use by our territorial customers now.

10 The Scherer capacity was acquired for the
11 long-term benefit of our territorial customers. It was
12 not purchased for purposes of unit power sales. All of
13 our actions regarding this acquisition have been
14 prudent. If the Commission follows the prehearing
15 recommendation of its own Staff or that of Mr. Rosen in
16 his prefiled testimony and disallows cost recovery for
17 capacity which the Commission itself has agreed was
18 prudent to acquire, it will break the regulatory
19 compact which has been established with Gulf. While
20 Mr. Howell will fully review the details of our concern
21 in his testimony, I simply want to emphasize how
22 strongly the Company feels that disallowance of the
23 Scherer capacity in rate base would be a detriment to
24 our customers and send an extremely negative signal to
25

1 the Company regarding what constitutes prudence in its
2 decisions.

3 The long-term benefits of the Scherer capacity
4 were valid when we made the decision to invest, and are
5 still valid today. The new unit power sales, for which
6 Gulf contracted in 1988, will allow us to capture even
7 more savings for our territorial customers in the long
8 term.

9 As Mr. Howell will cover in his testimony, Gulf
10 had two choices - either participate in Scherer or not.
11 Participation requires at least a 40 year commitment to
12 the capacity and, therefore, cost-effectiveness must be
13 viewed over the long term. If the Company were to
14 follow the philosophy suggested by the Staff and Mr.
15 Rosen, it would cease making decisions based on
16 long-term cost benefits and make decisions based on
17 one-year, short-term analysis. This would create an
18 extremely unreliable and costly electric system for our
19 customers. Mr. Howell will cover in detail how the
20 Scherer decision is a long-term benefit to our
21 customers, and how we have done everything reasonable
22 to minimize the impact of the Scherer capacity in the
23 test year. I ask the Commission to approach this issue
24 with an open mind, carefully consider the strong
25

1 evidence which we will present, and allow cost recovery
2 of the Scherer capacity.

3

4 Q. Mr. Parsons, do you agree with Mr. Rosen's
5 recommendation of an 18 percent reserve margin for
6 Gulf?

7 A. No. The 20-25 percent range for planning reserve
8 margin guideline utilized by Gulf and Southern has been
9 adopted by the Commission as reasonable. Since the
10 criteria was last established, there has been no need
11 to commit to additional capacity on the system. As
12 indicated in Mr. Howell's testimony, the criteria was
13 last reviewed and deemed appropriate by the
14 Commission's consultant in Docket 860004-EU. As the
15 time approaches when there will be a need to commit to
16 new capacity, we believe it is appropriate to review
17 this criteria. Such a study is now under way.
18 Although the operating companies of Southern have
19 determined to maintain a minimum 20 percent planning
20 reserve margin guideline, commitments for capital
21 expenditures in 1990 for capacity additions have been
22 limited based on a 16 percent reserve margin until the
23 detailed study is completed, hopefully, later this
24 year. The consequences of committing these large
25 capital expenditures which may be later deemed to be

1 imprudent, with 20/20 hindsight, are too great to
2 justify moving forward without this additional detailed
3 examination of capacity requirements.

4 Short lead time demand side options and short term
5 capacity purchases will be utilized, if necessary, to
6 provide adequate reserves during the test year.

7
8 Q. On page 17 of his testimony, Mr. Larkin suggests that
9 the Caryville site should be excluded from rate base
10 because there is no plan to build a generating unit on
11 the Caryville site. Is he correct?

12 A. No. Caryville is still a viable, certified site for
13 future base load coal capacity in Gulf's system. As I
14 have previously stated, the Commission agreed with
15 Caryville's inclusion in rate base as plant held for
16 future use in Docket Nos. 800001-EI, 810136-EU,
17 820150-EU and 840086-EI. For example, in Order
18 No. 9628, the Commission supports this decision by
19 stating, "We agree with the Company that its plans for
20 the site are sufficiently definite to warrant its
21 inclusion, and that to deny the request would be to the
22 disadvantage of ratepayers in the long run." Inclusion
23 of the Caryville site in rate base for plant held for
24 future use is still a prudent decision by the
25 Commission.

1 Q. What is the value of this site to the customers of Gulf
2 Power?

3 A. An extensive site selection study was undertaken in the
4 late 1960's and early 1970's when Gulf projected the
5 need for a new generating plant site. Caryville was
6 determined to be the most viable of all the sites
7 analyzed. Because of the extreme difficulty in
8 certifying new sites due to stringent environmental
9 requirements, Caryville may well be the only available
10 site on which to locate future generation in Northwest
11 Florida; future generation which will be required as
12 our customers' needs grow.

13

14 Q. Is the present property owned by Gulf Power Company at
15 Caryville of a sufficient size to accommodate its
16 future generation needs?

17 A. No. The Caryville site was originally certified during
18 1976 for the initial construction of two 500 mw low
19 sulfur coal units. Again, as I have stated in my
20 direct testimony, changes in environmental regulations
21 since that time now require that flue gas
22 desulfurization equipment or scrubbers be installed on
23 any base load generating units constructed at the site.
24 Additional space will be required for the scrubbers,
25 limestone storage and the waste by-product. Additional

1 space will also be required for 500 kv transmission
2 lines and substations rather than the 230 kv systems
3 certified.
4

5 Q. Why is the additional land purchase important at this
6 time?

7 A. Again, as I have previously stated in my direct
8 testimony, since the units are not needed immediately,
9 Gulf can secure property adjacent to the Caryville site
10 as it comes on the market at a much lower price than if
11 we were to wait until construction begins. The extreme
12 difficulty anticipated in acquiring and certifying
13 sites in the future makes it necessary and prudent to
14 proceed with the purchase of additional property as it
15 comes on the market in order to enhance and protect the
16 viability of the site for future generation needs.
17

18 Q. What action will Gulf take if the Commission excludes
19 the site from the rate base?

20 A. This would indicate that the Commission does not
21 believe that this site has future value to Gulf's
22 customers. We would have to consider possibly selling
23 the property. A Commission decision such as this would
24 have a significant negative impact on Gulf's ability to
25 meet long-range generating capacity needs at a

1 reasonable cost. We are simply attempting, as the
2 Commission has encouraged us to do on many occasions,
3 to project future needs and, using sound reasoning, act
4 in advance so that we can save our customers' money.
5 We feel the purchase of additional land for this site
6 as it becomes available is a prudent action.

7
8 Q. On page 28, Mr. Larkin recommends excluding the
9 Caryville subsurface study from working capital. Do
10 you agree?

11 A. No. The subsurface investigation of the Caryville site
12 is still valid relative to the geological conditions.
13 This information will be utilized in the design of
14 foundations and placement of structures for future
15 generating capacity.

16
17 Q. Do you agree with Mr. Schultz's recommendation
18 beginning on page 28 of an adjustment of \$617,595 for
19 SCS expenses?

20 A. No. Mr. Schultz references OPC Interrogatory No. 53
21 and places undue emphasis on isolated items without
22 including the entire text of Gulf's response. For
23 example, Gulf does state that Southern Company Services
24 (SCS) "prepares estimates of its billings to Gulf";
25 however, that same paragraph goes on to detail how this

1 interaction takes place. As shown in this
2 interrogatory, this is a very detailed process in which
3 Gulf interacts with SCS personnel on a continuous basis
4 in the development and monitoring of the SCS budget and
5 actual expenses.

6
7 Q. On page 29, Mr. Schultz implies that indirect expenses
8 which are allocated to the operating companies based on
9 a set percentage "are not subjected to the same
10 scrutiny by the Company as that of the costs of a
11 specifically requested item." Do you agree with this
12 statement?

13 A. No. There is no statement in OPC Interrogatory No. 53
14 which indicates that only direct charges are handled in
15 the manner described. On the contrary, work orders
16 exist for the allocation of these indirect charges and
17 are monitored in the same method as direct charges.
18 The generic allocated work orders remain a standing
19 authorization of work to be performed, unless
20 termination of these work orders is recommended by the
21 various committees and/or operating companies.

22
23 Q. On page 2 of 3, line numbers 1 - 9 of Mr. Schultz's
24 Schedule HWS - 7, he recommends that the Commission
25 disallow SCS expenses related to a variety of research

1 projects and studies undertaken on behalf of Gulf Power
2 Company. Is this a duplication of work between Gulf,
3 SCS, and EPRI?

4 A. No. The recommended disallowance is based on the
5 incorrect presumption that these services are
6 duplicative of research managed by the Electric Power
7 Research Institute (EPRI). These services are, in
8 fact, complimentary and not duplicative. Some 600
9 member utilities fund EPRI's large-scale, cooperative
10 research and development programs. As a result, EPRI
11 undertakes research programs that are responsive to the
12 needs of the electric utility industry as a whole.
13 EPRI does not undertake individual utility specific
14 research nor does it apply its research only to
15 individual utility specific problems.

16 SCS assists Gulf Power Company in attaining
17 maximum benefit from EPRI's research. These research
18 and research management activities include:

- 19 a) participating in the EPRI advisory system to
20 ensure that EPRI's research meets the needs
21 of Gulf Power Company;
- 22 b) reviewing, summarizing, evaluating, and
23 communicating the results of EPRI research to
24 Gulf Power in order to ensure maximum benefit

25

1 from its investment in EPRI research
2 (Technology Transfer); and
3 c) conducting local, company-specific studies in
4 order to apply the results of key EPRI
5 research to specific Gulf Power Company
6 issues. In some cases this can include
7 co-funding EPRI projects conducted at Gulf
8 facilities or within Gulf's service
9 territory.

10 SCS also conducts site specific research at Gulf's
11 facilities on areas of concern not addressed by EPRI.
12 The majority of the research performed by SCS for Gulf
13 is specific to the needs of Gulf and the system.
14

15 Q. On page 34, Mr. Schultz recommends an adjustment
16 removing "the cost of SCS services which have been
17 budgeted at amounts substantially in excess of actual
18 average costs for such services." Do you agree?

19 A. No. We do not agree that excess costs have been
20 budgeted for SCS. Any budget approved by Gulf for SCS
21 work has been thoroughly reviewed by Gulf personnel
22 responsible for that activity. When the budget is
23 approved, it is our best estimate for required
24 manpower. That is the case in 1990. The budget is
25

1 reflective of conditions and work loads faced by our
2 Company under present circumstances.

3
4 **Q. Why do SCS expenses for System Planning exceed the**
5 **benchmark?**

6 **A. The 1984 benchmark of allowed charges from SCS of**
7 **\$57,000 was developed from seven months of actual**
8 **charges (January through July of 1984) extrapolated to**
9 **the end of the year.**

10 Although the actual charges were below the budget
11 for the first seven months, this relationship did not
12 hold true for the remainder of 1984 due to workload and
13 resource usage fluctuations. The actual charges for
14 1984 were \$157,000. Therefore, considering the entire
15 year of 1984, the base was lower than it should have
16 been.

17 A compound inflation multiplier of 1.2468 was used
18 to calculate a 1990 benchmark from the 1984 base.
19 Applying this same multiplier to the 1984 SCS actual
20 charges of \$157,000 would result in a 1990 adjusted
21 benchmark of \$196,000. The 1990 SCS budget for this
22 work order is \$167,000, which is 14.8 percent below the
23 adjusted benchmark.

24 These charges are for valuable services which SCS
25 delivers to Gulf in providing expert engineering

1 assistance for the planning of reliable, economical,
2 and flexible resources to meet the energy requirements
3 of Gulf Power. If SCS were not providing these
4 services, then, in order to perform these tasks, the
5 Company would either retain outside consultants, who
6 have less understanding of Gulf Power and the Southern
7 system, or have to increase the number of employees in
8 Gulf's System Planning Department.

9
10 Q. At page 37 of his testimony, Mr. Schultz argues that
11 expenses related to Atmospheric Fluidized Bed
12 Combustion and Living Lakes, Inc., are duplicative or
13 unnecessary. Is there any validity to his contention?

14
15 A. No. Mr. Schultz makes this statement but provides no
16 support for his recommendation. The research and
17 development charges as noted on MFR Schedule C-57,
18 page 3, are fully justified.

19 Future legislation requiring significant
20 reductions of sulfur dioxide emissions from coal-fired
21 utilities mandates the development of new, cleaner
22 combustion techniques. Atmospheric fluidized bed
23 combustion is such a technology and the TVA/Duke Power
24 project is a full scale development project for this
25 important new clean combustion system. The knowledge

1 gained in working with the TVA/Duke project will allow
2 the SCS engineers to evaluate future designs of the
3 system.

4 Living Lakes Inc. is a not-for-profit corporation
5 whose primary purpose is to demonstrate effective
6 technologies for the neutralization of acidified
7 surface water. Living Lakes, Inc., has developed
8 mitigation and investigative techniques for lowering
9 the acidity of lakes that become acidified, either from
10 natural or man induced causes. Living Lakes, Inc., has
11 successfully treated numerous lakes in the country and
12 restored them to a healthy condition at a fraction of
13 the cost of emission control projects currently being
14 debated in Congress.

15

16 Q. Beginning on page 49, Mr. Schultz recommends an
17 adjustment to disallow Gulf's nuclear power research
18 expenses associated with EPRI. Do you agree with this
19 adjustment?

20 A. No. Much of the costs incurred by EPRI relative to
21 nuclear power production research are also inherent to
22 steam production (turbines, feedwater heaters,
23 controls, condenser fouling, cooling towers,
24 valves, fans, etc.) and, therefore, advantageous
25 directly to Gulf. However, Gulf also benefits from the

1 remainder of the nuclear research because of its
2 participation in the Southern system pool. Benefits
3 received directly by other sister operating companies
4 also indirectly benefit Gulf through increased
5 efficiency of units and lower costs of purchased power.
6 Future generation requirements by Gulf's customers
7 dictate that new sources of power be evaluated to
8 determine which are most economical and efficient.
9 Nuclear projects should be a part of that evaluation.
10 It is essential that nuclear power research be funded
11 as we look forward to the future.
12

13 Q. Mr. Schultz questions the fact that some research
14 expenses were zero during the benchmark period. Was
15 this a correct entry on Gulf's part?

16 A. Yes. Gulf prepared its benchmark based on the
17 Commission's instructions. Gulf summarized the total
18 variance on page 3 of MFR C-57 showing a variance of
19 \$210,000 for specific research and development expenses
20 in the Steam Production function. These expenses could
21 have been listed individually on page 3 but, because
22 they were related, they were grouped under this heading
23 just as we grouped all of Plant Daniel's expenses. As
24 shown on pages 4-9 of MFR C-57, there were no dollars
25 budgeted in 1984 for any of these expenses and

1 therefore, the base for calculation of the benchmark is
2 zero.

3
4 Q. Are any of Gulf's research and development costs a
5 duplication of research undertaken by EPRI?

6 A. No. Approximately 1700 different projects are
7 undertaken by EPRI annually. These projects are spread
8 over 60 different strategic programs. There is no way
9 Gulf or Southern could duplicate either the depth of
10 EPRI's research or the number of EPRI projects. Gulf
11 conducts research through SCS for site specific needs
12 at Gulf's system or through the FCG for Florida
13 specific issues. These projects are long term and
14 designed for meeting our customers' needs for continued
15 low cost power.

16 Q. On page 85 of his testimony, Mr. Schultz discusses
17 research expenses. Mr. Schultz seems to be suggesting
18 that the Company has merely shifted the focus of
19 research since 1984, and then used the new focus as the
20 justification for research variances over the
21 benchmark. Is this a fair characterization of what
22 Gulf has done?

23 A. Absolutely not. Again, the benchmark presented for
24 this docket was developed according to Commission
25 guidelines from prior rate cases and as instructed in

1 MFR C-57. What is reflected in our benchmark is not a
2 shift in focus but rather an increased scope. For
3 example, the electric magnetic fields (EMF) study is a
4 new project added since 1984.
5

6 Q. Was the EMF project undertaken by Gulf through the
7 Florida Electric Coordinating Group a duplication of
8 research done through either Southern Company Services
9 or the Electric Power Research Institute?

10 A. No. This was not a duplication of effort. EPRI's
11 research encompasses human health effects of exposure
12 to electric and magnetic fields. The goal of EPRI is
13 to provide measurement methods and equipment to assess
14 possible effects resulting from the exposure of workers
15 and the public to EMF. SCS acts as a coordinator,
16 interfacing with EPRI, to distribute information to the
17 operating companies. There was no further research
18 undertaken by SCS regarding the EMF issue.

19 At the state level, the Florida Department of
20 Environmental Regulation (DER) was mandated by the
21 legislature to investigate, develop, and adopt a
22 standard for EMF from new transmission lines for the
23 state of Florida. Since the standard for EMF was to be
24 common to all utilities within the state, the FCG
25 joined with the DER in providing expert testimony.

1 Gulf was actively involved in this process. In 1989,
2 as directed by the legislature, DER adopted a rule and
3 numerical standards and the utilities have begun to
4 implement this rule.

5
6 Q. On page 86 of Mr. Schultz' testimony, he infers that
7 \$47,452 was approved in Gulf's 1984 rate case for acid
8 rain monitoring. Is this a true assumption?

9 A. No. Gulf's 1984 rate case was based upon our 1984
10 budget. There were no dollars budgeted in 1984 for
11 this project. The expenses shown on Gulf's response to
12 Staff Interrogatory No. 101 from Docket No. 881167-EI
13 are the actual dollars spent for the Acid Rain Study
14 for the years 1981-1988. As Gulf specifically states
15 in MFR C-57, the acid rain monitoring costs are a
16 result of a request by the Florida Department of
17 Environmental Regulation and an independent scientific
18 review panel to continue this monitoring in order to
19 complement a growing data base on the acidity of wet
20 and dry deposition. This data base will provide
21 information which could be very critical to measuring
22 the success of new federal Clean Air Legislation.

23
24 Q. Mr. Parsons, an issue has also been raised regarding
25 Gulf's heavy oil inventory level. Would you please

1 discuss the basis for the Company's request?

2 A. Yes, the Company's inventory request of \$1,042,000
3 serves to protect Gulf's ratepayers from having three
4 of Gulf's generating units unavailable for use due to
5 an interruption in fuel supply. Without a supply of
6 heavy oil in inventory on the plant site, these units
7 could be considered non-firm generating capacity,
8 thereby not receiving full credit in the Intercompany
9 Interchange Contract (IIC). The primary fuel for these
10 units is pipeline natural gas, which is subject to
11 interruption or curtailment.

12 The plant receives oil only by truck. If an
13 emergency fuel situation developed and Units 1, 2, and
14 3 were required to run at full capacity, procurement
15 and delivery problems could prevent sustained
16 operation. The present oil in storage provides
17 adequate oil to allow the units to run for an emergency
18 period and simultaneously procure replacement oil.

19

20 Q. If Crist Units 1,2, and 3 are considered non-firm
21 capacity due to not having a sufficient quantity of
22 standby fuel available, does that affect Gulf Power's
23 IIC capacity payments?

24 A. Yes. The loss of 84.4 MW of fossil generating capacity
25 in the Intercompany Interchange Contract would result

1 in a net loss of over \$6 million in capacity payments
2 for 1990.

3

4 Q. Mr. Parsons, an issue has been raised as to whether the
5 Company's proposed inventory for No. 2 oil should be
6 adjusted. Would you please discuss this proposal?

7 A. Yes. Gulf is requesting a total of \$359,000 of No. 2
8 oil inventory to serve as fuel for the combustion
9 turbine and as lighter fuel at all five plants. The
10 inventory level advocated by Staff in their preliminary
11 position equates to a 68 percent reduction from the
12 Company's proposed level. No. 2 oil is not consumed at
13 a constant rate, but varies on a relatively
14 unpredictable basis from day to day. The usage depends
15 on peaking requirements, unit start-ups, and load
16 changes. This oil is delivered by trucks which
17 restricts the amount a plant can receive at any one
18 time. The requested oil inventory is necessary to
19 allow for variations in plant consumption and
20 procurement and to guard against market volatility and
21 supply disruptions.

22 Gulf has recognized the decreased likelihood of
23 supply disruptions and the minimal operation of the
24 combustion turbine. The requested combustion turbine
25

1 oil inventory is only 50 percent of available tank
2 capacity.

3
4 Q. Mr. Parsons, will you please summarize your testimony?

5 A. I have provided additional testimony supporting the
6 inclusion of Plant Scherer Unit 3 capacity in Gulf's
7 rate base. Again, this capacity was acquired for the
8 long-term benefit of our territorial customers and has
9 been deemed by the Commission in past dockets as a
10 prudent acquisition. In addition, I have addressed the
11 planning reserve margin guideline used by Gulf and
12 adopted by the Commission in prior dockets versus that
13 level proposed by Mr. Rosen. Also, I have supported
14 the continued inclusion of the current Caryville site
15 and future land purchases in plant held for future use
16 based on its value to territorial customers for future
17 generation needs at a reasonable cost. Next, I have
18 attempted to address several O & M issues raised by
19 Mr. Schultz. Testimony has been provided disputing the
20 incorrect presumption on the part of Mr. Schultz in his
21 prefiled testimony relative to a duplication of work
22 between Gulf, SCS and EPRI for various O & M costs and
23 research expenses. As I have stated earlier in my
24 testimony, these services are not duplicative. Gulf,
25 SCS and EPRI have taken great care to ensure all

1 programs compliment one another in order to attain the
2 maximum benefit from these projects. Finally, I have
3 addressed the issues relative to Gulf's oil inventory.
4 Without the requested inventory for heavy oil, Crist
5 Units 1, 2, and 3 could be considered non-firm
6 generating capacity and would result in a net loss of
7 over \$6 million in capacity payments through the IIC
8 for 1990. The No. 2 oil inventory is critical at all
9 five of Gulf's plants as lighter fuel and serves as a
10 primary fuel for the combustion turbine.

11 In conclusion, I would like to assure the
12 Commission that Gulf's Power Generation and
13 Transmission Department is manned with a highly
14 qualified and competent staff who take great pride to
15 ensure that every expenditure approved and every
16 decision made are in the long-term best interest of
17 Gulf's customers.

18

19 Q. Does this conclude your testimony?

20 A. Yes, it does.

21

22

23

24

25

1 Q (By Mr. Holland) Would you summarize your
2 testimony, Mr. Parsons.

3 A Yes, sir.

4 In 1978, Gulf came before this Commission to
5 present a cost effective alternative to continuing
6 construction at the Caryville site. During this
7 workshop, we presented our proposal for cancelling
8 Caryville and acquiring capacity at Plant Scherer,
9 resulting in a significant cost savings to our retail
10 customers. In addition, I have presented extensive
11 testimony in Gulf's last four rate cases and attended a
12 number of planning workshops and planning hearings at
13 which time our generation expansion plans were fully
14 discussed with the Commission.

15 There has never be any concern expressed
16 relative to the prudence of acquiring Scherer other
17 than concern that we might not be able to consummate
18 the purchase. In fact, this Commission felt so
19 strongly that we should make this purchase that it held
20 subject to refund our write-off of the Caryville
21 cancellation cost approved in Order No. 9628 pending
22 completion of the contract with Georgia to acquire
23 Scherer.

24 Gulf is gravely concerned at Staff's position
25 in Issue No. 26 regarding exclusion of Plant Scherer 3

1 capacity and rate base. We notified Georgia of our
2 intent to purchase 25% of Scherer Units 3 and 4 in
3 1980. We signed an agreement with Georgia in 1981 for
4 Units 3 and 4; that contract was revised in 1984 to
5 include only 25% of Unit 3 and finally received SEC
6 approval. During that entire period, Scherer 3 was
7 scheduled for commercial operation in 1987. With the
8 encouragement and support of this Commission, the
9 Scherer capacity was acquired for the long-term benefit
10 of Gulf's territorial customers, not for the purposes
11 of unit power sales.

12 If the Commission follows the prehearing
13 recommendation of its own Staff and disallows recovery
14 for capacity which it has deemed prudent in prior
15 dockets and hearings, it will break the regulatory
16 compact which has been established with Gulf. Any such
17 action by this Commission would be an extremely
18 negative signal to the Company regarding what
19 constitutes prudence in its decisions.

20 Gulf has continuously shown that the Scherer
21 capacity would eventually come back to our territorial
22 customers at a greatly reduced price when needed.

23 In Rate Case 810136-EU, Order No. 10557
24 stated, for system planning purposes, a margin of 25%
25 is considered adequate. As late as 1986 in Docket No.

1 '860004-EU, the Commission's own consultant supported
2 Gulf's 20 to 25% planning reserve margin guideline as
3 being reasonable and consistent with utilities
4 practices. Mr. Rosen stated that Southern's reserve
5 level for planning purposes is based on a minimum of
6 20%. However, he went on to say that capital
7 expenditures for capacity additions have been limited
8 to a 16% planning reserve margin.

9 The preamble to expansion plan 9081, which is
10 a part of this case, states as follows: Although the
11 operating companies have determined to maintain a
12 minimum 20% planning reserve margin guideline, capital
13 expenditures for capacity additions have been limited
14 in this resource expansion plan based on a 16% reserve
15 margin until detailed studies are completed before the
16 adoption of the fall 1990 plan. Capacity to meet the
17 minimum 20% planning reserve margin guideline can be
18 met through short lead time options, such as purchases,
19 and are not shown. Active DSO additions are shown as
20 combustion turbine equivalent megawatts. Passive DSO
21 additions are not explicitly shown but are reflected in
22 the load forecast. Detailed economic and reliability
23 studies will be made as appropriate to determine
24 resource additions on a timely basis.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

This simply states that during a one-year period no commitments for new capacity will be made to raise system reserves above 16% until detailed economic and reliability studies are completed this year.

To day our reserves, including the Scherer

(Transcript follows in sequence on Page 3473.)

1 '860004-EU, the Commission's own consultant supported
2 Gulf's 20 to 25% planning reserve margin guideline as
3 being reasonable and consistent with utilities
4 practices. Mr. Rosen stated that Southern's reserve
5 level for planning purposes is based on a minimum of
6 20%. However, he went on to say that capital
7 expenditures for capacity additions have been limited
8 to a 16% planning reserve margin.

9 The preamble to expansion plan 9081, which is
10 a part of this case, states as follows: Although the
11 operating companies have determined to maintain a
12 minimum 20% planning reserve margin guideline, capital
13 expenditures for capacity additions have been limited
14 in this resource expansion plan based on a 16% reserve
15 margin until detailed studies are completed before the
16 adoption of the fall 1990 plan. Capacity to meet the
17 minimum 20% planning reserve margin guideline can be
18 met through short lead time options, such as purchases,
19 and are not shown. Active DSO additions are shown as
20 combustion turbine equivalent megawatts. Passive DSO
21 additions are not explicitly shown but are reflected in
22 the load forecast. Detailed economic and reliability
23 studies will be made as appropriate to determine
24 resource additions on a timely basis.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

This simply states that during a one-year period no commitments for new capacity will be made to raise system reserves above 16% until detailed economic and reliability studies are completed this year.

To day our reserves, including the Scherer

(Transcript follows in sequence on Page 3473.)

1 capacity, is within the level previously supported by
2 this Commission. The Scherer capacity is available for
3 use by our territorial customers. It has been used by
4 territorial customers and is presently used and useful
5 in 1990.

6 Mr. Larkin recommends excluding the
7 Carrabelle site from rate base because there is no plan
8 to build a generating unit at this site during the
9 period covered by our present generation expansion
10 plan. I strongly feel this site should be retained as
11 plant held for future use as approved by the Commission
12 in previous rate case dockets. For example, in Order
13 9628, the Commission supports this decision by stating,
14 "We agree with the Company that its plans for the site
15 are sufficiently definite to warrant its inclusion, and
16 that to deny that request would be to the disadvantage
17 of ratepayers in the long run."

18 The inclusion of the Carrabelle site and
19 plant held for future is still a prudent decision. The
20 associated subsurface investigation which was performed
21 prior to site certification should be included in
22 working capital as a valid analysis of geological
23 conditions at the site and will be used during the
24 design phase of plant construction. There is no doubt
25 that future generation will be required as our

1 territorial customers' needs grow.

2 Carrabelle is one of the few sites available
3 in northwest Florida that would allow Gulf to provide
4 the expansion required to handle this growth in an
5 environmentally accepted manner. If Gulf is forced to
6 sell this land, its ability to meet long range
7 generating capacity needs at a reasonable cost would be
8 jeopardized.

9 Mr. Schultz has joined with Staff in
10 recommending an adjustment to disallow Gulf's EPRI
11 expenses associated with nuclear power research. Since
12 approximately 22% of Southern's kilowatt hour
13 generation is provided by nuclear power, any
14 improvements in efficiency and equipment performance
15 will directly benefit Gulf Power Company. When nuclear
16 energy is available for use by the owning company, more
17 economical fossil-fired capacity is available through
18 the system pool.

19 In addition, research in the area of a new
20 generation of nuclear units to serve future load will
21 benefit Gulf.

22 The EPRI dues structure is based on a formula
23 using kilowatt hour sales and revenue. Nuclear
24 research is not a line item of this formula. It simply
25 receives a portion of EPRI's budget.

1 In conclusion, as I have stated many times
2 before, our Company is staffed with dedicated,
3 highly-trained employees. The decision we make and the
4 expenditures we approve are made in the long-term best
5 interest of our customers. This concludes my summary.

6 MR. HOLLAND: Tender Mr. Parsons.

7 MR. BURGESS: No questions.

8 MR. PALECKI: No cross.

9 CHAIRMAN WILSON: Questions, Commissioners?

10 COMMISSIONER BEARD: I got one. Nuclear
11 megawatts are excluded from the interexchange?

12 WITNESS PARSONS: Yes, sir, nuclear capacity
13 and hydro capacity is retained by the owning company
14 for serving their own customers and is not included in
15 intercompany interchange contracts.

16 COMMISSIONER BEARD: Then expand for me just
17 briefly the impact to Gulf Power of increased or
18 decreased efficiency or operation of the nuclear
19 plants, for example, in Georgia, has to be an indirect
20 one, is that not correct?

21 WITNESS PARSONS: Let's say, for instance, we
22 have a 1000 megawatt unit on Georgia Power Company's
23 property. It's operating at full load, as all nuclear
24 units do. If that unit comes off line, that 1000
25 megawatts to carry Georgia's load is lost. Fossil

1 capacity will be utilized to carry that load in place
2 of the nuclear unit. If that nuclear unit is available
3 to carry that 1000 megawatts, then it frees up a 1000
4 megawatts of fossil-fired capacity, which could be, and
5 probably is, less expensive to Gulf Power Company as
6 far as the energy out of that unit, then may be
7 producing energy out of our own Southern System. So it
8 makes additional capacity available on the system for
9 purchase by Gulf Power.

10 COMMISSIONER BEARD: It makes additional
11 capacity available that may or may not be of use at
12 that time to Gulf, and may or may not be more or less
13 expensive? There's a probability if they don't have to
14 go to peakers, that it is, obviously?

15 WITNESS PARSONS: No, sir, that's not always
16 the case, Mr. Beard. Our units are not considered
17 strictly baseload units. We have -- even though we
18 have fossil-fired, coal-fired and generating plants,
19 they will cycle, usually during the day. We have very
20 few units that we will put on line and run at 100%
21 load. Georgia has some of those units, the newer, more
22 efficient units, which, in the sense of the word, are
23 really baseload units, and those will run. But then
24 there will be other units that both the nuclear and
25 those units, fossil-fired units, will replace the need

1 for capacity that would make it available for sale to
2 the pool which Gulf in turn purchases.

3 I agree with you to the point that the
4 capacity has to be needed for it to be an advantage to
5 Gulf. But under the assumption that the nuclear unit
6 is running full out and there would be capacity
7 available, in my opinion, more economical for Gulf to
8 purchase energy.

9 CHAIRMAN WILSON: Is that all that's excluded
10 from the IIC?

11 WITNESS PARSONS: Yes, sir, the hydro and
12 nuclear energy, or capacity, hydro and nuclear
13 capacity.

14 CHAIRMAN WILSON: Redirect?

15 COMMISSIONER GUNTER: Let me ask one
16 question. Who is the Southern Electric Generating
17 Company? Who do they serve?

18 WITNESS PARSONS: That is a jointly-owned
19 Company that is owned by Alabama Power Company and
20 Georgia Power Company.

21 COMMISSIONER GUNTER: Who do they serve?

22 WITNESS PARSONS: Well, they have units at
23 Wilsonville, Alabama. They are -- it's just a
24 jointly-owned company by Alabama Power and Georgia
25 Power. They have units there.

1 COMMISSIONER GUNTER: Who do they serve?

2 WITNESS PARSONS: Well, the capacity is
3 shared between Alabama and Georgia.

4 COMMISSIONER GUNTER: In other words it's
5 some sort of hybrid off where Georgia owns some pieces
6 of plant and Florida owns some pieces of plant?

7 WITNESS PARSONS: Well, it's a jointly owned
8 plant, just as we own a part of Scherer, that is a unit
9 or plant that is jointly owned by Alabama and Georgia
10 and the --

11 COMMISSIONER GUNTER: You got any idea why
12 they did it that way rather than doing it the way you
13 all have done it with Mississippi and with Georgia,
14 created a separate company?

15 WITNESS PARSONS: No, sir, I do not.

16 COMMISSIONER GUNTER: When was that built?
17 Do you know? I'll look at your book. I'll find it.
18 1970?

19 COMMISSIONER BEARD: You did a dangerous
20 thing, Mr. Parsons, you gave him a new toy.

21 COMMISSIONER GUNTER: 1970.

22 COMMISSIONER BEARD: Worse than the state
23 statutes.

24 CHAIRMAN WILSON: What is the legal form of
25 that? Is that a joint venture or is that a separate

1 corporation or what?

2 WITNESS PARSONS: It's just a separate
3 company that is jointly owned by Alabama and Georgia.
4 I believe the commercial operation on Unit 1, Mr.
5 Gunter, was May, 1960 on Unit 1, and July of 1960 on
6 Unit 2.

7 COMMISSIONER GUNTER: Excuse me, I was
8 looking at the combustion turbine.

9 WITNESS PARSONS: Unit 3 was 61, unit 4 was
10 62.

11 COMMISSIONER GUNTER: These look like
12 forerunners to IPPs, doesn't it?

13 COMMISSIONER BEARD: Maybe even the five
14 runners.

15 CHAIRMAN WILSON: Anything on redirect?

16 MR. HOLLAND: No redirect.

17 CHAIRMAN WILSON: Thank you very much. Call
18 your next witness.

19 (Witness Parsons excused.)

20 - - - - -

21 MR. HOLLAND: Call Mr. Howell. (Pause)

22 (Discussion off the record.)

23 M. W. HOWELL

24 having been previously duly sworn as a witness on
25 behalf of Gulf Power Company, was called as a rebuttal

1 witness and testified as follows:

2 DIRECT EXAMINATION

3 BY MR. HOLLAND:

4 Q Mr. Howell, you're the same M. W. Howell that
5 testified previously in this docket?

6 A Yes.

7 Q And have you prefiled in this docket
8 testimony entitled "Rebuttal Testimony of M. W.
9 Howell"?

10 A Yes.

11 Q Do you have any additions or corrections to
12 that testimony?

13 A Yes. On Page 18 of the rebuttal testimony,
14 Line 10, it says "Schedule 3." That's a typo. It
15 should be "Schedule 7." That's the only change.

16 Q Is that all your corrections?

17 A I'm sorry, what?

18 Q Does that complete your corrections?

19 A Yes, that's the only change.

20 Q With that change, Mr. Howell, if I were to
21 ask you the questions today contained in your
22 testimony, would your answers be the same?

23 A Yes.

24 MR. HOLLAND: Mr. Chairman, we'd ask Mr.
25 Howell's testimony be inserted into the record as

1 though read.

2 CHAIRMAN WILSON: Without objection, it will
3 be so inserted into the record.

4 MR. HOLLAND: I believe his exhibits have
5 likewise been premarked and stipulated to.

6 (Exhibits previously stipulated into the
7 record.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 GULF POWER COMPANY

2 Before the Florida Public Service Commission

3 Rebuttal Testimony of

4 M. W. Howell

5 Docket No. 891345-EI

6 Date of Filing May 21, 1990

7

8 Q. Please state your name, business address and
9 occupation.

10 A. My name is M. W. Howell, and my business address is 500
11 Bayfront Parkway, Pensacola, Florida 32501. I am
12 Manager of Transmission and System Control for Gulf
13 Power Company.

14

15 Q. Are you the same M. W. Howell who has previously
16 testified in this docket?

17 A. Yes.

18

19 Q. Have you prepared an exhibit that contains information
20 to which you will refer in your testimony?

21 A. Yes. My exhibit consists of nine schedules to which I
22 will refer. This exhibit was prepared under my
23 supervision and direction.

24

25 Counsel: We ask that Mr. Howell's exhibit,
 comprised of nine schedules, be marked for
 identification as Exhibits 99-107 (MWH-2).

1 Q. What is the purpose of your testimony in this
2 proceeding?

3 A. The purpose of my testimony is to rebut portions of the
4 testimony of Witnesses Johnson, Rosen, Schultz, and
5 Wright. These issues relate to inclusion of Scherer in
6 the rate base, bulk power sales efforts, Scherer
7 transmission line "rental" expenses, and the system
8 planning aspects of cost of service methodology.

9 I will demonstrate that the Scherer capacity was
10 prudently acquired and results in long-term lower costs
11 to our customers, that Gulf has marketed off-system
12 power to the maximum extent possible, that the Scherer
13 transmission "rental" amount submitted by Gulf is
14 correct, and that the equivalent peaker method of cost
15 allocation and dedicated facility philosophy proposed
16 by Mr. Wright are based on flawed assumptions and
17 reasoning.

18 Office of Public Counsel's witness, Mr. Rosen, has
19 recommended that Gulf's 63 mw of Scherer Unit No. 3
20 should not be included in the rate base. Mr. Rosen
21 used incorrect numbers and flawed reasoning in his
22 calculations which led him to this conclusion. I will
23 show how the numbers he used are wrong, leading him to
24 wrong conclusions, and resulting in his unsupported
25 recommendation. I will also demonstrate that

1 Mr. Rosen is recommending that the Florida Public
2 Service Commission (Commission) completely reverse
3 previous decisions it has made related to the prudence
4 of Gulf's participation in Plant Scherer and the unit
5 power sales, and that Mr. Rosen has violated virtually
6 every basic principle of prudence determination.

7 Mr. Rosen also raised a number of side issues in
8 unsuccessfully trying to show a lack of need for
9 Scherer. But he carefully avoided the only question
10 that is pertinent:

11
12 Was Gulf prudent in having entered into the
13 agreement in 1984 to purchase Scherer? The answer is
14 either yes, or no.

15
16 Gulf could have acquired Scherer, or not acquired
17 Scherer. There is no middle ground. If we had not
18 acquired it, it would not be an issue here. When we
19 did acquire it, the purchase was completed in 1984, and
20 the capacity will be there for 40 years as a resource
21 that must be paid for by someone. I will show that the
22 decisions related to the Scherer purchase were prudent
23 and that Scherer is a long-term benefit to our
24 customers.

25

Docket No. 891345-EI
Witness: M. W. Howell
Page 4

1 Q. Should the Commission allow Scherer capacity to be
2 included in retail rates?

3 A. Yes. The Commission has not only previously recognized
4 the long-term value of this resource to our customers,
5 but has also encouraged us to participate in Scherer to
6 be able to make off system sales to Florida such that
7 it will reduce Florida's dependence on oil while the
8 sales are in effect. If the Commission reverses its
9 stand on Scherer, this will represent not only a
10 decided blow to our territorial customers in the long
11 term, but will also represent a serious breakdown in
12 the regulatory compact.

13

14 Q. You stated that the Commission has previously
15 recognized the long-term value of Scherer to your
16 customers. When did that take place?

17 A. We initially reviewed our plans regarding Scherer with
18 the Commission in October, 1978, when we held a
19 workshop to review with them the customer savings which
20 we could secure by purchasing Scherer capacity in lieu
21 of the Caryville generation, which was in the early
22 planning and construction stages. At that workshop,
23 the Commission indicated that they agreed with Gulf
24 that it was the proper course of action to secure the
25 Scherer capacity.

1 During Gulf's next rate case in 1980, in Docket No.
2 800001-EU, the Commission expressed definite concern
3 that, since Gulf did not have a guarantee from Georgia
4 that Georgia would sell the capacity to Gulf, Gulf
5 might not be able to secure the Scherer capacity and
6 bring about these savings to its customers. The
7 Commission acknowledged that Scherer was a good deal
8 for Gulf's customers, and felt so strongly about the
9 need to acquire the capacity that it made the Caryville
10 cancellation cost recovery subject to completion of a
11 contract for the Scherer capacity.

12 In Gulf's next rate case, Docket No. 810136-EU,
13 Order No. 10557 stated that Gulf's decisions regarding
14 Scherer were based on the long-term best interests of
15 our customers and would result in cost savings because
16 of our participation in Scherer. In our next rate
17 case, Docket No. 820150-EU, Order No. 11498 stated that
18 the Unit Power Sales contracts, of which Scherer was a
19 significant part, would cause our customers to "benefit
20 handsomely" from the sales.

21 In addition to these direct statements by the
22 Commission in the orders, Gulf has also presented its
23 plans regarding Scherer acquisition in the third 500KV
24 line hearing in 1982, in which the Commission clearly
25 encouraged Gulf and Southern to make additional unit

1 power sales from Scherer and other units. Also, Gulf
2 has presented its plans regarding Scherer at the 1982
3 Annual Planning Workshop, the 1983 Annual Planning
4 Workshop, the 1984 Annual Planning Workshop, our 1984
5 rate case, Docket No. 840086-FU, the 1985 Annual
6 Planning Workshop, the 1986 Annual Planning Hearing,
7 and the 1989 Annual Planning Hearing. Also, since the
8 late 1970's, Gulf has annually filed its Ten Year Site
9 Plan with the Commission detailing our future expansion
10 plans including Scherer, our expected generation
11 percent reserves, and our associated off-system sales.

12 We have openly communicated with both the
13 Commission and the Staff over the last 12 years
14 regarding our plans. In not one single instance has
15 the Commission ever expressed any reservation or
16 concern over Gulf sharing in the Scherer capacity. We
17 have also heeded the Commission's urging to maximize
18 unit power sales out of the Scherer capacity, since it
19 was recognized from the beginning of the unit power
20 sales concept that this would help to minimize customer
21 revenue requirements in the early years of the
22 capacity.

23

24

25

Docket No. 891345-EI
Witness: M. W. Howell
Page 7

1 Q. Why did Gulf purchase capacity in Plant Scherer?

2 A. The plan to participate in Plant Scherer began in 1978
3 as an opportunity to cancel proposed construction plans
4 for a coal-fired plant at Caryville, Florida. It was
5 determined that the participation in ownership of Plant
6 Scherer would, at that time, save Gulf's customers over
7 \$350 million in capital costs. At that time,
8 commitments had already been made for the installation
9 of Caryville No. 1 as a 500 mw unit in 1985. Because
10 of commitments previously made with the suppliers for
11 Caryville Unit 1, cancellation and deferral charges
12 were originally estimated to be approximately \$20
13 million. As a result of intensive negotiations with
14 vendors, we were able to reduce these charges by
15 several million dollars by June, 1979, and we then
16 began writing off the cost over a five year period.

17 This Commission approved the cancellation and
18 amortization in a prior rate case, Docket No.
19 800001-EU, and reaffirmed this position in Docket No.
20 810136-EU and Docket No. 820150-EU on the basis of the
21 savings to be realized for the purchase of Scherer. In
22 all three rate cases, the Commission fully reviewed the
23 economics of the Scherer purchase. The plans to
24 participate in Plant Scherer have thus been reviewed
25 by, concurred in, and even praised by the Florida

1 Public Service Commission many times in past dockets.

2 Since Gulf acquired this capacity for the
3 long-term lowest cost for the territorial customer, but
4 it was not immediately needed by the Company's
5 territorial customer, the Commission encouraged the
6 Company to sell as much of this capacity as possible.
7 The Company made every effort to do so. The customers
8 will receive substantial long-term benefits from this
9 capacity. Thus, the customers should properly pay for
10 Plant Scherer capacity costs that have been incurred to
11 serve their load.

12

13 Q. On page 25 of his testimony, Mr. Rosen concludes that
14 because Scherer capacity is more costly than other
15 capacity in the Southern pool in 1990, there is no
16 justification for having this capacity. Is he correct?

17 A. No. Mr. Rosen is making a hypothetical assumption,
18 which doesn't exist in the real world, that Gulf can
19 pick and choose the times when it needs to buy from the
20 pool. Acquiring capacity is a "package deal." You
21 might have some parts of the package that are, by
22 themselves and separate from the others, uneconomical.
23 But taking the whole package, it's clearly economical.
24 Scherer is just such a "package deal." The capacity
25 was acquired for the long-term benefit of Gulf's

1 customers, as a whole package. Once acquired, the
2 entire package is there for the duration of the
3 contract. Gulf can not choose to simply do away with
4 the capacity in one year and buy from the pool. All of
5 this capacity exists and it must be paid for every
6 year.

7 The territorial customers, for whom Scherer was
8 purchased, receive the long-term benefit of Gulf's
9 ability to serve both present and future needs for
10 electricity at low cost, and it is proper that these
11 customers be asked to pay for the Scherer capacity
12 which gives Gulf that ability.

13 The pooling arrangement under the Intercompany
14 Interchange Contract (IIC) states that all parties will
15 add capacity to meet their customers' demand for
16 electricity. In some years, companies will obviously
17 have to acquire capacity which is higher cost than the
18 average of all the units in the pool. To follow Mr.
19 Rosen's philosophy of disallowing any new capacity
20 which is more expensive than the pool average would
21 eventually disallow any new capacity in rate base! His
22 proposal is so seriously flawed, it is preposterous.

23

24

25

1 Q. Mr. Rosen's recommendations seem to be based on a short
2 run analysis of the need for Plant Scherer. Should
3 this Commission make decisions strictly on short-term
4 considerations?

5 A. Clearly, no. Mr. Rosen's testimony is based on a short
6 run analysis, but this is not proper. This is one of
7 the biggest concerns I have with Mr. Rosen's testimony.
8 He has clearly held himself out as an expert at
9 assessing the prudence of utility generation expansion
10 plans. Gulf is frankly disturbed that none of his
11 testimony reviewed the prudence of Gulf's plans in the
12 time frame when it committed to the purchase of Scherer
13 capacity, nor did any of his testimony look at the long
14 term benefits or costs.

15 Instead, Mr. Rosen has focused solely on the test
16 year, clearly revealing the narrow, short term nature
17 of his review. On p. 25 of his testimony, he admits
18 that the only basis for his recommendation to disallow
19 Scherer is that pool capacity is cheaper in 1990. If
20 we followed Mr. Rosen's logic and only planned one year
21 at a time, it would spell certain disaster for the
22 customer.

23 Mr. Rosen's testimony would have the Commission
24 believe that a utility is able to exactly match its
25 generating capacity need with its load each and every

1 year. That would be true if generating capacity could
2 be purchased and installed, and refunded occasionally,
3 in very small increments as needed. The cost of a
4 guaranteed availability of buying capacity in this
5 manner, however, would be so prohibitive that no one
6 could afford to use electricity for very long.

7 The realities of operating a modern power system
8 are that utilities must build generation in economical
9 sizes, not in 1 mw blocks. The Scherer capacity isn't
10 available in 1 mw blocks, and even if it were, we
11 couldn't go to the supplier and get a full refund on
12 megawatts we decided we didn't want for 1990 or any
13 other year.

14

15 Q. Mr. Rosen alleges that the 63 mw of Gulf's Scherer
16 capacity is excess. What is Gulf's response?

17 A. I have previously discussed that it is not practical to
18 isolate pieces of generating units. Both Gulf and this
19 Commission determined that our participation in
20 Scherer, as well as the unit power sale concept, was in
21 the long-term best interests of our customers, and that
22 they would save hundreds of millions of dollars. We
23 could either participate in Scherer or not. The fact
24 that there was a long-term benefit to our customers led
25 us to do it. The capacity is serving the customer and

1 the customer is the rightful party to support the
2 investment. Never in any of Gulf's deliberations did
3 the Company ever intend to go out and secure Scherer
4 capacity with the thought of selling it as a generation
5 resource for the benefit of stockholders.

6 Gulf's use of the stockholders' investment to
7 purchase the Scherer capacity was solely for the
8 purpose of enabling the Company to meet its statutory
9 obligation of service to and for the long-term benefit
10 of our territorial customers. The sale of UPS capacity
11 to Gulf States Utilities likewise was made with the
12 best interests of our territorial customers in mind.
13 The GSU sale enabled Gulf Power to preserve and enhance
14 the long-term benefits of the Scherer purchase for its
15 territorial customers while at the same time meet its
16 obligation to the stockholders whose funds were
17 invested.

18 The fact that Gulf States defaulted is in no way
19 related to Mr. Rosen's concept of a business risk
20 incurred by the stockholders. We were simply selling
21 as much capacity as we could to maximize the long-term
22 benefits to our customers. Just because Gulf States
23 has defaulted does not in any way change the fact that
24 now, as well as the time frame in which we made the
25 decision, Scherer provides long-term benefits to our

1 customers. I will later discuss the technical errors
2 in Mr. Rosen's testimony which apparently caused him to
3 believe the 63 mw was surplus to Gulf's needs.

4

5 Q. Mr. Rosen is clearly attempting to show excess reserves
6 in 1990 and thereby imply imprudence. Is there any
7 validity to his claim?

8 A. None at all. I have previously discussed Mr. Rosen's
9 exclusive preoccupation with the short-term, and how
10 this is totally incorrect and will ultimately spell
11 disaster for the customer both in reliability and cost.
12 He has also erred regarding the prudence issue by
13 failing to look at how Gulf got to where it is. The
14 test of prudence regarding reserves is never what a
15 utility's reserves are in any particular year, but how
16 prudent the decisions were in the time frame they were
17 made which brought the utility to that point.

18 It is interesting to note that in Gulf's
19 particular case, 1990 conditions are significantly
20 different than earlier expected. For example, during
21 our 1984 rate case before the Commission, Gulf's
22 reserves for 1990 were expected to be 18.4%, including
23 a 42 mw sale to Gulf States. But Gulf's load at that
24 time was only estimated to be 1600 mw. We now project
25 our load for 1990 to be 1750 mw, to which Mr. Rosen

1 basically agrees. If we were to calculate our reserves
2 for 1990 with the 1750 mw load instead of the 1600 mw
3 estimated, but add to our capacity we anticipated in
4 1984 the 42 mw on which Gulf States has defaulted, our
5 reserves in 1990 would be only 10.7%, which even Mr.
6 Rosen would agree is not excess.

7
8 Q. Why then, are Gulf's reserves estimated to be 25.5% for
9 1990?

10 A. This is due to two reasons. One, we have 55 mw of
11 additional capacity which we have been able to squeeze
12 out of our existing units. We have been encouraged by
13 our Commission to do that, so we should certainly
14 presume that that was a prudent action. The other
15 component is 175 mw of additional capacity which we now
16 will have as a result of extending the retirement dates
17 of our five oldest generating units, three of which
18 burn expensive oil.

19 Because this extension of the retirement dates of
20 these units also results in significant savings to our
21 customers, it certainly is a prudent action. Mr. Rosen
22 neglected to review these factors in hastily attempting
23 to show excess reserves which he could attribute to
24 Scherer for 1990.

25

1 In order to more easily understand the difference
2 between what we expected in 1984 and what we now see, I
3 have attached as Schedule 1 a comparison of the
4 capacity forecast and the load forecast plus 20%
5 reserves which we estimated in 1984. As I stated
6 before, our reserves were then estimated to be 13.4% in
7 1990. But, conditions are different now as compared to
8 what we estimated in 1984.

9 I have also attached Schedule 2, which compares
10 our 1984 capacity forecast with the actual loads we
11 have experienced from 1984 through 1989 and our current
12 forecast. As in Schedule 1, the load has been
13 increased by 20% to reflect reserve requirements.
14 Schedule 2 indicates how much higher actual loads have
15 been than what we anticipated in 1984, and demonstrates
16 that the capacity forecast which we had in 1984 would
17 have been quite inadequate for the loads we actually
18 experienced.

19 My Schedule 3 compares the 1984 load projection
20 with actual loads and the current forecast. This shows
21 just how much additional capacity is needed compared to
22 what we estimated in 1984.

23 Fortunately for Gulf, we have been able to gain
24 additional capacity significantly above that estimated
25 in 1984 without the construction of any new generating

1 units. By 1990, this has totalled approximately
2 230 mw, 55 mw from squeezing more capacity out of
3 existing units, and 175 mw from extending the
4 retirement dates of five older units, including three
5 that burn expensive oil.

6 This significant capacity addition to our system
7 is demonstrated on Schedule 4. This schedule is
8 important for two reasons. First, it shows why our
9 reserves for 1990 are higher than we anticipated in
10 1984, even with a substantial load above what we
11 expected. Second, it allowed us to enter the 1990's
12 with significantly more capacity than we expected, and
13 be in a better position to make the new unit power
14 sales which I will discuss later in my testimony.

15 Incorporating this increased capacity which we have
16 been able to secure without any new generating units,
17 in conjunction with the much higher loads which we have
18 experienced, Schedule 5 demonstrates our current
19 capacity and load condition.

20 I have also included Schedule 6, which shows all
21 four of the curves I have previously discussed on
22 Schedules 1 through 5 for overall reference. If Mr.
23 Rosen had attempted to understand this and had focused
24 his attention on these relevant facts rather than his
25 diversionary smokescreen issues, he would not be making

1 any such allegation that Gulf has excess reserves for
2 1990, and he would certainly not be suggesting that the
3 Scherer capacity be disallowed in rate base.

4
5 Q. How have these conditions which have changed
6 significantly from what you estimated in 1984 affected
7 Gulf's decision to enter into the new Unit Power Sales?

8 A. They have had a major effect on that decision. Had we
9 not taken the steps to increase our capacity by this
10 230 mw, then Gulf would be short of capacity entering
11 the 1990's and in an extremely deficit position. The
12 decision to make the additional sale of the Scherer
13 capacity between 1993 and 2010 would have been much
14 more difficult, and it is doubtful that Gulf would have
15 entered in the sale. The fact that we had this
16 additional capacity, however, allowed us to make the
17 sale and realize the tremendous monetary benefits to
18 our territorial customers which I will cover later.
19 Thus, it is extremely inappropriate for Mr. Rosen to
20 allege that these capacity changes, which have resulted
21 in millions of dollars of savings for our customers in
22 the long-term, constitute a capacity excess in 1990 for
23 which Gulf should be penalized.

24
25

1 Q. Mr. Rosen even suggests that the new UPS contracts
2 which Gulf Power signed were imprudent. Also, Staff
3 has suggested as the basis for its recommendation to
4 disallow Scherer in the rate base the fact that the
5 capacity is all sold starting in 1995. Are these valid
6 positions?

7 A. No. I have already demonstrated that the Scherer
8 capacity is clearly a long-term benefit to our
9 customers. I have also included with my testimony
10 Schedule ⁷ 7, which shows a comparison of Scherer
11 participation with and without the new unit power
12 sales. Because the off-system customer is bearing the
13 costs of the capacity during the early years when
14 carrying costs are higher than in the later years, the
15 capacity is a significant bargain to Gulf's customers
16 when it returns.

17 Mr. Rosen has made a number of misleading comments
18 about the new unit power sales and their relationship
19 to Scherer prudence, but this schedule clearly shows
20 that Gulf acted prudently in making the additional
21 sales, and thereby ensuring additional future benefits
22 to its customers.

23

24

25

1 Q. What are the reasons for the savings associated with
2 the new unit power sales?

3 A. The primary savings result from the fact that
4 off-system customers are supporting the investment in
5 the Scherer capacity, which is a significantly higher
6 cost in the early years of its useful life compared to
7 the cost of combustion turbines, which, as we all know,
8 cost significantly less than base load coal capacity.
9 There are other reasons for the savings, but that is
10 the primary difference.

11

12 Q. How would you characterize this analysis indicated on
13 this schedule?

14 A. This is certainly not intended to be an exact,
15 exhaustive analysis. It is intended to be a simplistic
16 analysis which still does, however, accurately capture
17 the difference in the two scenarios. The difference in
18 the two scenarios is what is important, since this
19 represents the incremental effect on Gulf's customers.

20

21 Q. What assumptions were made in performing this analysis?

22 A. Because Gulf already owns the Scherer capacity, it is a
23 part of our resources. Absent the new unit power
24 sales, this resource would be fully available for
25 territorial customers starting June 1, 1995. With or

Docket No. 891345-EI
Witness: M. W. Howell
Page 20

1 without the new unit power sales, this capacity will be
2 a territorial resource from June 1, 2010 forward.
3 Thus, regardless of what happens to other existing
4 generating units on Gulf's system, Gulf will have this
5 capacity beyond 2010.

6 In our current plan, we are fully selling the
7 capacity starting in 1995, and our present budget calls
8 for the addition of a 126 mw CT in 1995 and another
9 similar unit in 1998. If we did not make the new unit
10 power sales, the 212 mw of Scherer capacity would be
11 available for territorial load, and no additional
12 capacity would be needed through year 2000. From 2000
13 to 2010, capacity additions would be common to both
14 plans, and are omitted for simplicity. Since we are
15 only interested in the difference in the two scenarios,
16 and these costs are the same in both scenarios, their
17 omission will have no effect on the difference in cost
18 of the two scenarios.

19 In the year 2010, the Scherer capacity returns to
20 territorial service in the scenario with the new unit
21 power sales, and this capacity addition will be
22 utilized by territorial customers. In the scenario in
23 which no unit power sales were made, the capacity was
24 available to territorial customers during the previous
25 fifteen years, and two 126 mw CT's are required in

1 2010. At this point in time, both plans have 212 mw of
2 Scherer capacity and two 126 mw CT's which have been
3 added. Since both plans now have exactly the same
4 capacity, future capacity additions will be the same
5 and there will be no further differences in the plans.
6

7 Q. Would either plan be affected by changing retirement
8 dates, particularly Daniel 1, which is currently
9 projected to retire in 2012?

10 A. No. In 2010, both plans have exactly the same amount
11 of base load capacity. Thus, any change in the
12 extension in retirement dates of base load capacity
13 would have the same effect on both plans, would be
14 common to both of them, and would thus introduce no
15 difference between the plans. Since we are only
16 looking at differences between the plans to establish
17 the benefit of the new unit power sales, integrity in
18 the difference is maintained regardless of what happens
19 to changes in retirement dates of base load units.
20

21 Q. What amount of generating capacity from Plant Scherer
22 was committed to Gulf States Utilities (GSU) for UPS in
23 1990?

24 A. A total of 44 mw. Mr. Johnson is incorrect in his
25 assumption that if Gulf States had not defaulted on its

1 UPS contract, 63 mw would not have become the
2 responsibility of Gulf's retail customers. The
3 remaining 19 mw, as Mr. Scarbrough discussed with the
4 Commission in his 1984 rate case testimony, was planned
5 to be in territorial service and be the responsibility
6 of the Company's retail customers through base rates.

7
8 Q. One issue raised in this proceeding is whether an
9 adequate attempt has been made to market the unit power
10 sales capacity available because of the default of Gulf
11 States Utilities (GSU). Does Gulf have additional UPS
12 capacity which it would be willing to sell should a
13 buyer be found?

14 A. Yes. Gulf has 63 mw of Scherer capacity which it would
15 be willing to sell as UPS during 1990 in order to
16 further enhance the long-term benefits of this Scherer
17 capacity to Gulf's territorial customers. If Scherer
18 were sold, Gulf could purchase pool capacity at a lower
19 price than Scherer.

20
21 Q. Is this capacity considered excess capacity on the Gulf
22 system?

23 A. This capacity is not "excess". The word excess implies
24 capacity that is greater than a utility's needs.
25 Since the Scherer capacity is required to meet our

Docket No. 891345-EI
Witness: M. W. Howell
Page 23

1 customers' long range needs, and has been found by this
2 Commission to be beneficial to the customers in the
3 long run, it certainly cannot be considered excess. In
4 the short run, if an alternative means of supporting
5 this investment could be found, Gulf would obtain for
6 its territorial customers the additional advantages
7 related to such an alternative. Nevertheless, this
8 capacity is being used by our retail customers today.

9

10 Q. What short term alternative are you speaking of?

11 A. Selling the 63 mw off-system through a UPS type
12 arrangement. Unfortunately, there simply is no market
13 for additional unit power sales in 1990 at this time
14 due to the current economic situation. While we have
15 been able to sell additional unit power during the mid
16 1990's and beyond, there simply is no market for 1990.
17 It appears that this is the case through 1992.
18 However, we continue to pursue every such possibility.

19

20 Q. What efforts has Gulf made recently to attempt to
21 market this capacity in the 1990 - 1992 timeframe?

22 A. Through Southern Company Services (SCS), Gulf and the
23 Southern system have contacted every utility that is
24 either interconnected with or within a reasonable
25 transmission distance of Southern regarding the

1 possibility of their purchasing this unit power
2 capacity. No one has expressed any interest.

3 Q. Does the Florida Public Service Commission Staff
4 (Staff) agree that Gulf has diligently attempted to
5 market the Scherer capacity?

6 A. It is my understanding that they do. In 1989, Staff
7 extensively reviewed the market situation with bulk
8 power marketing personnel at SCS, who related that
9 there currently is not a market for additional UPS
10 capacity. Staff has indicated they have seen no
11 evidence to the contrary, and further that an adequate
12 attempt has been made to market the UPS capacity which
13 became available because of Gulf States Utilities'
14 default.

15

16 Q. Has Gulf "pulled out all the stops" to sell all the
17 power it could off-system for 1990?

18 A. Yes. Gulf has "pulled out all the stops." It has made
19 every reasonable effort to sell additional power, but
20 the market simply does not exist.

21

22 Q. Mr. Rosen's argument is that Gulf should utilize
23 reserve margins which would have occurred had Gulf
24 States not defaulted on its contract. Are his
25 calculations correct?

- 1 A. No, his calculations are wrong. This is one of the
2 major errors in Mr. Rosen's testimony. He has misled
3 himself, and is attempting to mislead the Commission.
4 For some reason, he has assumed that our contract with
5 Gulf States called for 150 mw of sales in 1990. In
6 fact, the contract only called for 42 mw of sales
7 during the test year. I have attached as Schedule 8 of
8 my exhibit, a copy of the Gulf States allocations as of
9 December, 1983. These allocations were utilized in the
10 expansion plan provided as part of our last rate case,
11 Docket No. 840086-FI. It quite clearly shows that Gulf
12 was only planning to sell Gulf States 42 mw during the
13 peak of 1990. The entire basis for Mr. Rosen's
14 allegation that Gulf should utilize a 15 percent
15 planning reserve margin is based on his statement that
16 we felt this level, with the Gulf States sales, would
17 be adequate in 1990. Mr. Rosen's misunderstanding of
18 the facts caused him to reach an erroneous conclusion.
19
- 20 Q. It is well known that Gulf will sell all of its Scherer
21 capacity from 1995 through 2010. Is Scherer 3 still in
22 the long-term best interests of the rate payers?
- 23 A. Definitely. There will still be twenty years of life
24 left in Scherer when it again will be committed for our
25 customers' use in 2010. At that time, its cost will be

1 a small fraction of what equivalent new coal capacity
2 will cost. During that time frame, Gulf and the
3 Southern system will need to add new coal resources as
4 part of our generation mix; not only will the Scherer
5 capacity be a tremendous benefit during that period,
6 but it also allows Gulf to avoid the need to add
7 capacity between now and the mid 1990's.

8

9 Q. You have covered the significant errors Mr. Rosen made
10 which led to false conclusions. Are there conceptual
11 problems in his testimony as well?

12 A. Yes. It is troubling enough that his analysis was
13 mathematically flawed, but even more troubling is his
14 conceptual philosophy. He candidly admits on p. 25 of
15 his testimony that the only basis for his proposed
16 disallowance of Scherer was that Scherer was more
17 expensive than pool capacity during a single year,
18 1990. To make such a drastic recommendation based on
19 one year, and ignore the long-term benefits which this
20 Commission has recognized are associated with the
21 Scherer capacity, is a dangerous philosophy to adopt, as
22 such action will drastically increase customer costs in
23 the long term.

24 Perhaps the biggest conceptual flaw is Mr. Rosen's
25 proposal that investments which were prudently incurred

Docket No. 891345-EI
Witness: M. W. Howell
Page 27

1 at the time the decision was made should be disallowed
2 simply because conditions change in the future. I have
3 discussed in my testimony the conditions which led Gulf
4 Power to participate in the Scherer capacity. These
5 matters were fully reviewed with the Commission on
6 several occasions, and the Commission has consistently
7 agreed with us that participation in Scherer was
8 appropriate and prudent because of the long-term
9 savings to our customers.

10 The Commission has aggressively encouraged us to
11 make off-system sales of this capacity, until needed by
12 territorial customers, to the maximum extent possible.
13 We have certainly done that. We have exhausted the
14 marketplace. We have "pulled out all the stops." We
15 have made all of these efforts in order to minimize the
16 cost of electricity to our territorial customers over
17 the long term. It would be patently unfair for Gulf to
18 now be penalized by excluding from rate base some
19 capacity that was a part of a sale due to the
20 unforeseeable default on the purchasing party.
21 This is especially true since the Scherer capacity,
22 even without GSU, is still a clear long-term benefit to
23 the customer. As stated previously, this capacity is
24 being used by our customers at this time.

25

1 The standard of utility prudence has consistently
2 been that if the decisions made were prudent, based on
3 the information available at the time, then investments
4 resulting from these decisions are properly the
5 responsibility of the customer. The fact that Scherer
6 remains a long-term benefit to our territorial
7 customers exacerbates the implications of Mr. Rosen's
8 proposals.

9 It is important to stop at this point and
10 understand Gulf's situation in early 1984: (1) It had
11 already purchased the Daniel capacity for the long-
12 term best interests of its customers. (2) It had
13 already purchased the Scherer capacity, again to secure
14 long term-benefits for its customers. (3) It had
15 already executed contracts for the unit power sales.

16 Since that time, Gulf has made no additional
17 commitments to secure new generating capacity. Those
18 decisions that were cemented in 1984 were considered
19 prudent by Gulf, were considered prudent by the
20 Commission, and ensured long-term benefits to Gulf's
21 territorial customers as a result of the Daniel
22 capacity, the Scherer capacity, and Gulf's
23 participation in the unit power sales with this
24 capacity.

25

1 Where was Mr. Rosen in the early 1980's when
2 these decisions were being made? What is it he is
3 suggesting that we do differently now than that which
4 we have proposed? Other than the punitive action of
5 disallowing stockholders a return on their investment
6 which was risked so that the customer could get lower
7 costs, Mr. Rosen has no recommendations for changes
8 that Gulf should have implemented now or in the past.
9 Gulf has demonstrated that Mr. Rosen's recommendations
10 due to his erroneous calculations are ill-founded and
11 without merit. We ask that the Commission honor the
12 regulatory compact which has been built with Gulf and
13 allow the Scherer capacity in the rate base.

14

15 Q. Was Plant Scherer Unit 3 capacity, as Witnesses Johnson
16 and Schultz state, obtained by Gulf for the purpose of
17 making unit power sales (UPS)?

18 A. No. Mr. Johnson and Mr. Schultz are mistaken when they
19 say that Scherer was planned for UPS. Gulf's purchase
20 of Plant Scherer capacity was initiated and completed
21 for the specific purpose of meeting the long-term
22 electrical needs of the Company's territorial
23 customers. During the mid-1980's time frame in which
24 Gulf was able to acquire this capacity, it was not
25 immediately needed to meet existing territorial

1 customer load and we made off-system sales, but off-
2 system sales never dictated the need or goal of the
3 acquisition.

4

5 Q. How did unit power sales enter the picture?

6 A. Oil price increases initiated by the Arab oil embargo
7 of 1973 had caused significant decreases in the load
8 forecast, higher prices for oil as a boiler fuel, and a
9 significant advantage for coal fired power as compared
10 to that generated by oil. In 1979, the Organization of
11 Petroleum Exporting Countries (OPEC) initiated a second
12 sharp rise in the price of oil, triggering a number of
13 changes worldwide, particularly in the United States.
14 The economy slowed down, load forecasts again dropped
15 significantly, and the price of oil-generated
16 electricity shot upward. Because of this tremendous
17 drop in the load forecast, Southern determined that it
18 had more base load capacity under construction than it
19 would need, and it faced a decision regarding this
20 capacity.

21

22 Q. What decision did Southern face?

23 A. With these large amounts of capacity committed and
24 under construction, Southern had two choices. The
25 first choice would be to simply defer and/or cancel the

Docket No. 891345-EI
Witness: M. W. Howell
Page 31

1 generating units at significant cost to Southern's
2 customers and stockholders. The second choice, which
3 appeared feasible, was to go ahead and complete the
4 generating units before they would be needed for
5 territorial load, sell the capacity to oil burning
6 utilities off the Southern system for a finite period
7 of time, and then recall the capacity as it was
8 projected to be needed for territorial customer load.

9 We began in 1980 to determine the market condition
10 to see if such a plan could be implemented. Because of
11 the extremely high price of oil and the forecast of
12 even sharper rises in the future, we found willing
13 listeners in Florida and Texas where utilities were
14 major consumers of oil. We were able to negotiate
15 arrangements with these utilities whereby they
16 purchased the capacity from the generating units over a
17 scheduled period, and the capacity was then scheduled
18 to be returned to the Southern system operating
19 companies when it was needed for use by our territorial
20 customers.

21 This gave our territorial customers the best of
22 all possible worlds. Not only did they not have to
23 bear any cancellation or deferral costs associated with
24 these units, but they were also assured of additional
25 base load coal generating capacity, which was being

1 encouraged by this Commission, which they were able to
2 secure at low committed prices of the 1970's, and the
3 capacity would come back to the companies even further
4 depreciated when it returned to territorial use in the
5 1980's and early 1990's.

6 Thus, the Unit Power Sales (UPS) concept was born.
7 The UPS concept has been successfully implemented by
8 the Southern system, saving our customers many hundreds
9 of millions of dollars.

10

11 Q. Were the Unit Power Sales reviewed by this Commission?

12 A. Yes. The Commission has reviewed the unit power sale
13 concept in depth. In fact, the Commission stated in
14 Gulf's 1982 rate case, Docket No. 820150-EU, Order No.
15 11498, that it had reviewed these sales from all angles
16 and concluded that Gulf's participation in such unit
17 power sales caused our customers to "benefit
18 handsomely".

19

20 Q. On pages 17 through 21 of his testimony, Mr. Rosen
21 discusses the unit power sales and states that these
22 were attempts to alleviate excess capacity on Gulf's
23 system. Is he correct?

24 A. No. We find it noteworthy that our own Commission,
25 over many years of review and oversight, has found

1 these sales in the long-term best interests of our
2 customers, who "benefit handsomely", and yet Mr. Rosen,
3 who has reviewed the situation for only a short period
4 of time, comes to a completely different conclusion.

5 Mr. Rosen's repeated references to the
6 stockholder's business risk is nothing more than a
7 smokescreen. The Scherer capacity was clearly acquired
8 for our territorial customers' long-term needs. Gulf
9 is not in the business of acquiring capacity to
10 permanently sell off-system. We are a public utility
11 in Florida, statutorially obligated to meet the needs
12 of our territorial customers. We have used our
13 stockholders' funds to meet this obligation. The costs
14 for the prudently acquired Scherer capacity are clearly
15 the territorial customers' responsibility. Mr. Rosen's
16 characterization of UPS contracts as attempts to "get
17 rid of" this "excess" coal capacity is mere
18 sensationalism.

19

20 Q. If the Commission does not authorize this Scherer
21 capacity in rate base, what will Gulf do?

22 A. I cannot answer that exactly at this point. We
23 certainly will have to review what our options are. If
24 the Commission reverses its earlier decisions and
25 disallows the inclusion of 63 mw in the rate base,

1 thereby determining that the Company's participation in
2 Scherer is not in the long-term best interest of our
3 territorial customers, even though these same customers
4 are using and benefiting from this capacity, one of our
5 obvious options must be to secure a permanent buyer for
6 the Scherer capacity, bricks and mortar, lock, stock,
7 and barrel.

8

9 Q. I thought you said earlier that there is no market for
10 additional unit power sales in this time frame.

11 A. I certainly did, and it is true that there is currently
12 no buyer for unit power capacity in 1990, 1991, or
13 1992. But if Gulf were to make a permanent sale of the
14 Scherer capacity, that is, for the life of the plant, I
15 believe that the economic benefits to be gained at the
16 end of the new unit power sales contract will cause
17 many utilities to be very interested in purchasing the
18 capacity from us. If we can find a suitable buyer,
19 that will have to be our first option in order to
20 relieve our stockholders from the significant burden
21 that results from having to carry this capacity with no
22 return on their investment.

23 As a long time participant in the planning and
24 operation of our system, I would really hate to see
25 that happen. Gulf and the Southern system have worked

1 long and tirelessly in responding in a commendable way
2 to the tremendous upheaval that has burdened the
3 industry in the last fifteen years. We have worked
4 well with this Commission, demonstrating to it the
5 benefit of the Scherer capacity for our territorial
6 customers. It is not in the best interests of our
7 territorial customers to lose the obvious benefits of
8 Gulf's participation in the Scherer capacity. We ask
9 the Staff to reconsider its position taken on this
10 issue. We ask the Commission to reaffirm earlier
11 decisions recognizing the prudence of Gulf's decision
12 and allow Scherer in the rate base in this case.

13

14 Q. Mr. Rosen discusses on pages 21 and 22 of his testimony
15 the concept of Gulf's business risk in making UPS
16 sales. Is he correct?

17 A. No. Mr. Rosen has completely misapplied the concept of
18 business risk. The concept of business risk is that
19 the party who stands to benefit from an investment
20 should bear the risk of the investment. Gulf's
21 stockholders have never taken a risk of building
22 capacity in order to be able to make sales with the
23 thought of earning a higher than reasonable return on
24 their investment. Mr. Rosen's allegations about excess
25 stockholder profits from UPS are a farce. The Federal

1 Energy Regulatory Commission (FERC) regulates the
2 allowed rate of return from these, as well as all
3 other, bulk power transactions. All the capacity which
4 Gulf has secured at Scherer has been for the benefit of
5 the customer. Since the customer is the beneficiary,
6 it is only reasonable that the customer should bear
7 these prudently incurred costs associated with the
8 investments that bring about that benefit.

9

10 Q. Mr. Rosen discusses, on page 23, how Southern's
11 stockholders have greatly benefited from UPS since
12 1983, by having made greater profits than if new
13 baseload coal units sold in UPS had never been built.
14 Is this true?

15 A. This is absolutely incorrect. Gulf and the Southern
16 system do not construct capacity for stockholders.
17 Stockholders do not use electricity; they do not
18 influence the amount of load the company is obligated
19 to serve. Customers use electricity; they create the
20 demand for electricity, and the company must plan to
21 serve that load. Because the company must construct or
22 otherwise obtain generating capacity for the customer,
23 it is the customer's proper responsibility to pay for
24 that capacity.

25

Docket No. 891345-EI
Witness: M. W. Howell
Page 37

1 The UPS since 1983 have not increased Gulf's
2 stockholder profits. As a matter of fact, the
3 stockholder has fared terribly. This is true simply
4 because the Gulf States UPS default has forced
5 stockholders to absorb the expenses associated with
6 capacity planned and purchased for the long-term
7 benefits of Gulf's territorial customers.

8

9 Q. Mr. Rosen draws the same conclusion regarding
10 stockholders about the new UPS which run from 1993
11 through 2010. Would you like to comment on this?

12 A. The system made these sales for the territorial
13 customers' benefit. No stockholder-related analyses
14 were conducted in preparing to make these sales.
15 Instead, we looked at the revenue requirements
16 associated with the investment in the capacity for
17 which the territorial customer was responsible, and saw
18 that the territorial customers would benefit from these
19 sales. That was the sole criterion on which the
20 Company based its decision to make the new UPS. This
21 was carefully reviewed with Mr. Rosen during my
22 deposition, but he chose to ignore it.

23

24

25

1 Q. Has this Commission ever in the past expressed any
2 concern regarding the prudence of Daniel, Scherer, or
3 the unit power sales?

4 A. The Commission has never expressed any concern about
5 the prudence of our generation expansion plans related
6 to purchasing Daniel or Scherer. The Commission's only
7 concern was during the early 1980's as to whether or
8 not Gulf started quickly enough making off-system
9 sales. Although Gulf's witnesses testified that there
10 has to be a willing buyer to consummate a UPS sale, the
11 Commission's position was that Gulf's efforts at making
12 off-system sales were not aggressive and timely enough.
13 The Commission has never expressed any concern with our
14 management of this area. During the early 1980's, it
15 even penalized Gulf for not starting off-system sales
16 efforts early enough!

17

18 Q. How long has Gulf been trying to market the capacity in
19 Scherer?

20 A. Since 1980, Gulf and Southern have attempted to market
21 unit power sales off-system to the maximum extent
22 possible. During the last ten years, we have had a
23 non-stop aggressive program of maximizing these sales.

24

25

Docket No. 891345-EI
Witness: M. W. Howell
Page 39

1 Q. Then could there be any validity to any claim that Gulf
2 and Southern have not started early enough in
3 attempting to market the 63 MW of Scherer?

4 A. Absolutely not. Even though only 19 MW was available
5 for sale during part of this period, efforts at selling
6 other capacity during this time frame clearly prove
7 that no additional sales of Scherer could have been
8 made, even if it had been available.

9

10 Q. When it was obvious that Gulf States was defaulting on
11 the contract, did Gulf attempt to market the Scherer
12 capacity which would be freed up?

13 A. We were already making a maximum effort to make
14 additional unit power sales that would increase long-
15 term benefits to our customers. Gulf specifically
16 instructed Southern Company Services to make every
17 effort to sell the capacity on which Gulf States
18 defaulted.

19

20 Q. Were any of these efforts successful?

21 A. No. There simply has not been any market for
22 additional unit power sales during the 1985-1990 time
23 frame since we made the sales to Gulf States.

24

25

1 Q. Then Gulf really has "pulled out all the stops" to
2 minimize territorial customer revenue requirements by
3 maximizing off-system sales?

4 A. Yes. We have truly "pulled out all the stops". No
5 effort earlier in time or more aggressive would have
6 made any difference in securing additional unit power
7 sales during the 1985-1990 time frame.

8

9 Q. Has this Commission previously reviewed the prudence of
10 Gulf's participation in Daniel and the relationship to
11 unit power sales?

12 A. Yes. In Order No. 10557 of Docket No. 810136-EU,
13 issued February 1, 1982, the Commission stated that
14 Gulf's expansion decisions, including our decision to
15 participate in Plant Daniel, were in the long-term best
16 interests of our customers. The Commission later
17 specified in Order No. 11498 of Docket No. 820150-EU,
18 issued January 11, 1983, that it had reviewed the unit
19 power sales contracts from all angles and concluded
20 that our retail customers benefited handsomely from the
21 contracts. In 1983, the Commission, as well as Gulf,
22 had had adequate time to assess the then-expected
23 impact of the 1973 Arab oil embargo and the 1979 rise
24 in oil prices. Based on Gulf's and the Commission's
25 best knowledge at the time, our participation in both

1 Daniel and Scherer was deemed prudent. It was
2 recognized that our customers would receive significant
3 benefits over the long term as a result of the unit
4 power sales contracts.

5

6 Q. Do generation expansion studies which were conducted in
7 the 1980's for the Gulf system indicate a level of
8 baseload capacity which is greater than an optimal
9 amount?

10 A. No. All decisions have been driven by minimizing the
11 cost to Gulf's customers. In the 1970's, when load
12 forecasts were dramatically impacted by the energy
13 crisis, Southern had a number of baseload generating
14 units committed for construction and a choice had to be
15 made. The system could cancel construction of these
16 units, thereby moving the generation mix away from base
17 load, but at a cost to the system of hundreds of
18 millions of dollars. Alternatively, the system could
19 finish the units and sell the related capacity to
20 utilities off system that were dependent on oil for a
21 finite period of time. This would result in neither
22 cancellation costs nor associated capital costs related
23 to these units which would have to be borne by the
24 territorial customer. When the units would be needed
25 by the system, they would be highly depreciated and be

1 available at a much lower cost than would other
2 baseload capacity.

3 The system chose to complete the units and sell the
4 capacity to other oil burning utilities in Florida and
5 other areas as unit power sales (UPS). As I stated
6 earlier, the Commission reviewed Gulf's plans to
7 participate in the ownership of Plant Daniel and Plant
8 Scherer and encouraged Gulf to participate in Unit
9 Power Sales to Florida utilities. Through the Southern
10 system, Gulf sold Daniel and Scherer capacity
11 off-system to the maximum extent possible.

12

13 Q. Is it proper for Mr. Rosen to state that Gulf and
14 Southern did not review their expansion plans, and that
15 a less than optimal mix of baseload capacity existed on
16 the system during the 1980's?

17 A. No. The successful completion of those units of
18 Southern's under construction which had been committed
19 to in the 1970's and 1980's, accompanied by the UPS
20 undertaking, required constant review. All planning
21 studies conducted during the 1980's operated under the
22 inherent assumption that these units would be finished.
23 Quite naturally, the studies would show, as Mr. Rosen
24 points out in his testimony, that peaking capacity
25 should be added after this baseload capacity was

1 completed. It is unknown what the studies would have
2 shown if the units which were under construction had
3 been assumed to be cancelled.

4 Baseload unit construction could possibly have been
5 indicated as the proper course of action. The key
6 point to be made here is that the system had adequate
7 capacity for the 1980's, and the purpose of the
8 generation mix studies which were conducted in the
9 1980's was to determine what capacity to add after the
10 completion of previously committed capacity. The
11 driving criterion during expansion plan review in the
12 1980's was "What course of action will result in the
13 lowest long-term cost to the territorial customer?"
14 This was far more important to us than an artificial
15 concern with mix proportions.

16
17 Q. Mr. Rosen alleges that during the 1980's, Southern
18 embarked on an expansion plan of base load units,
19 whereas the mix study showed that new generating
20 capacity in the 1990's should be new peaking capacity.
21 He then implies that some of the capacity planned
22 during the 1980's should have been peaking. Is he
23 correct?

24 A. No. The Southern system did not plan any new
25 additional generating capacity during the 1980's. We

1 already had adequate capacity under construction coming
2 on line which would be sold in unit power sales and
3 then returned to our customers' use as our load grew.
4 The fact that we were able to complete this capacity
5 and sell it for a short period of time, rather than
6 incurring the wasteful cost of cancellation, certainly
7 meant that the next units beyond this capacity should
8 be peaking units. Based on current planning studies,
9 that is exactly what Southern intends to do.
10

11 Q. Mr. Rosen states in his testimony that the 1986
12 Planning Hearing document filed in Docket No.
13 860004-EU-A showed that the long-term optimum mix of
14 capacity for the Southern system should be
15 approximately 57 percent base load, whereas capacity in
16 1995 was expected to be 83 percent base load. He then
17 states that these results imply that the current mix of
18 capacity is far from the long-term optimum. Is he
19 correct?

20 A. Absolutely not. The study shows that in the year 2015,
21 quite a long time from now, our long-term optimum mix
22 is expected to be 57 percent base. But the optimum mix
23 for 2015 bears no relationship to the optimum mix for
24 1995. The year 2015 is twenty years beyond 1995. This
25 study was based, among other things, on cost estimates

1 for future units which would have cost thousands of
2 dollars per kilowatt by year 2015, whereas existing
3 coal units on Southern by 1995 will be depreciated to a
4 cost far below that. Southern's mix for 1995 will
5 certainly be reasonable based on the cost of embedded
6 capacity on the system. Mr. Rosen, by not having
7 participated in earlier proceedings, is perhaps
8 unfamiliar with the Commission's recognition of our
9 plans as appropriate for the territorial customer. We
10 have, in addition to the many rate cases cited,
11 continually brought our expansion plans to the
12 Commission's attention through annual Ten Year Site
13 Plans, Annual Planning Workshop proceedings, and
14 Planning Hearings. The Commission has been regularly
15 advised of our plans.

16

17 Q. Did the Commission hire its own consultant to review
18 the filings of Gulf for the 1986 Planning Hearings?

19 A. Yes. The consultant had high marks for our study with
20 respect to our methodology, data sources, computer
21 tools, and results.

22

23 Q. On pages 28 through 30, Mr. Rosen discusses Gulf's
24 reserves in 1990 and beyond. Are his observations
25 correct?

1 A. No. He assumed that Gulf would have deemed it prudent
2 to maintain the relatively low reserve margins which he
3 calculated. In doing so, he has ignored the
4 information which we discussed with him during my
5 deposition in this docket as well as the information
6 provided in response to various discovery and
7 information requests from the Office of Public Counsel.
8 We have explained that Gulf does not do its planning
9 totally independent of the Southern system. Gulf plans
10 its expansion both to meet its territorial needs and as
11 part of the Southern system. As long as adequate
12 capacity is available on the Southern system for Gulf's
13 purchase through the IIC in any particular year, Gulf
14 certainly does deem it prudent to maintain a relatively
15 low reserve margin on its own system, consistent with
16 an overall optimized expansion plan to minimize the
17 long-term cost to its customers.

18

19 Q. On pages 30 and 31 of his testimony, Mr. Rosen attempts
20 to make a mathematical tie between the percent reserve
21 and EUE criteria. Is such a tie reasonable?

22 A. Not in the method utilized by Mr. Rosen. Our forced
23 outage rates on our generating units are well below
24 industry averages at this time. Whether we can keep
25 them there in the future is a question that only time

1 will tell. The EUE level calculated is low compared to
2 our criterion, and it is probably not within the
3 accuracy of the computer program. There has been no
4 need to calculate it more precisely because future
5 generation additions have been triggered by the 20
6 percent reserve margin criterion.

7 An EUE or LOLP criterion is admittedly difficult
8 to understand. The calculation of an appropriate level
9 for utility systems is also admittedly quite difficult.
10 That is why Southern has adopted a policy of dual
11 criteria, in that a reserve margin is much easier to
12 understand and, more importantly, more appropriate to
13 determine capacity adequacy on the system. The
14 simplistic ratio comparison of EUE and reserve margin
15 levels perfunctorily performed by Mr. Rosen is totally
16 meaningless, and simply another attempt at promoting
17 his empty argument that Gulf has excess reserves.

18

19 Q. Mr. Rosen has me confused. One place he says Gulf has
20 excess reserves and other place he says Gulf is
21 planning too low a reserve margin. Can you help me
22 out?

23 A. I will certainly try. As I have previously discussed,
24 Mr. Rosen erroneously manipulated the numbers for the
25 future in his attempt to show a very low reserve margin

1 for Gulf. He has failed to even mention the fact that
2 Gulf, on a stand-alone basis separate from Southern,
3 had negative reserves in 1988, and he has attempted to
4 show that Gulf has excess reserves in 1990. If he were
5 correct, that would violate every principle for
6 examining long-term reserves, which is the only
7 reasonable way to assess generation adequacy.
8 Fortunately for our customers, we have shown this
9 Commission that Mr. Rosen's calculations are not
10 correct; thus, there is no validity at all to his
11 conclusion. It is interesting to note that, on page 32
12 of his testimony, Mr. Rosen concluded that 131 mw of
13 supposed excess capacity was extremely close to the 150
14 mw of capacity which he falsely assumed Gulf would have
15 supplied GSU during 1990 had GSU not defaulted. We
16 have already shown how that assumption is completely
17 invalid.

18

19 Q. Is there such a thing as an absolutely correct level of
20 reliability or absolutely correct reserve margin?

21 A. There really is not. What is appropriate is to
22 establish reasonable levels for targets of reliability
23 or percent reserve. Gulf has consistently maintained
24 that a 20 to 25 percent reserve margin is appropriate
25 for long range generation planning requirements. While

1 our reliability criterion, EUE, is not expected to
2 initially trigger any additions of generation capacity,
3 it certainly could if the reliability of our units were
4 to decrease. Of course, providing for adequate levels
5 of funding in base rates works to keep our reliability
6 suitably high. We have utilized these dual criteria in
7 reviewing with the Commission a number of rate cases,
8 Ten Year Site Plan filings, Annual Planning Workshops,
9 and Planning Hearings, and the Commission has agreed
10 that these are reasonable levels.

11

12 Q. You said earlier that the Commission's own consultant
13 reviewed the planning studies filed by Southern in the
14 1986 Planning hearing. Did he also review the planning
15 criteria utilized of 20 percent reserves and 0.02
16 percent EUE?

17 A. Yes. He found both of them reasonable and consistent
18 with normal utility practice. It is interesting to
19 note how much his impartial assessment differs from
20 that of Mr. Rosen.

21

22 Q. Turning to Scherer transmission line "rentals,"
23 Mr. Shultz questions whether the amount budgeted for
24 Scherer transmission line rents is appropriate. What

25

1 are the various methods that Gulf considered for
2 getting Scherer power to Gulf?

3 A. Gulf and Georgia Power began discussions regarding
4 reasonable transmission service arrangements between
5 the two companies well before 1987. We initially
6 investigated the feasibility of a proxy path similar to
7 that used for Daniel. Because of the physical
8 arrangement of the transmission system, this proved to
9 be impractical and illogical. Because of the high cost
10 of the significant amount of 500 kv line involved, it
11 would also have potentially resulted in a prohibitively
12 high price for Gulf to pay. Another option considered
13 was to simply build a transmission line from Scherer to
14 Gulf. This also would have resulted in a prohibitively
15 high price. Since no new line was needed from a
16 transmission capacity standpoint, it just didn't make
17 sense to build an unneeded line just in order to
18 establish a metallic path.

19 Another method considered was for us to simply pay
20 a standard fully embedded transmission service charge
21 rate on the capacity. This method is universally
22 utilized in transmission service contracts which are in
23 place throughout the United States and has received
24 consistent approval by the FERC. Through negotiation,
25 Gulf has convinced Georgia to accept a modified

1 transmission service charge method that resulted in a
2 lower price for Gulf.

3

4 Q. Did Gulf choose the lowest cost option?

5 A. Yes. Schedule 9 of my exhibit shows that Gulf's choice
6 overwhelmingly proved to be the lowest cost option.

7

8 Q. Mr. Shultz, on page 28 of his testimony, recommends
9 that the full amount of Scherer transmission facility
10 expenses be disallowed because Plant Scherer capacity
11 is "for unit power sales." Is this reasonable?

12 A. No. As I have stated earlier in this testimony, 63 mw
13 of Plant Scherer capacity is available to serve Gulf's
14 territorial customers in 1990. A total of 19 mw of
15 this capacity was not even sold under UPS contracts.
16 All the capacity has been acquired and managed for the
17 benefit of our territorial customer. Mr. Schultz is
18 absolutely incorrect in saying that "all" Scherer
19 capacity is "for unit power sales."

20

21 Q. Another issue in this case addresses the appropriate
22 cost of service methodology. Witness Scheffel Wright
23 on pages 11 through 13 of his testimony proposes the
24 equivalent peaker methodology, stating that this most
25 closely fits system planning considerations. What are

1 the primary considerations a system planner evaluates
2 in determining whether to add any generation?

3 A. Clearly, relevant considerations change over time. In
4 Southern's early years, for example, we matched new
5 generation capacity very closely to expected peak load.
6 Essentially, all new capacity was hydro and it simply
7 became a matter of how much hydro capacity to develop.
8 Later, oil, gas, and coal steam units were added as
9 growth in loads began to outstrip the ability of hydro
10 resources to keep up. During the 1950's and 1960's,
11 coal was the predominant fuel of choice for generation
12 additions on the Southern system. The relative
13 domestic abundance and low cost of coal, coupled with
14 the relatively small cost of environmental compliance,
15 made coal an extremely attractive fuel.

16 In the 1970's, when oil imports were a major
17 national concern, any utility technology which utilized
18 oil was basically prohibited. Now that the Fuel Use
19 Act has been repealed, it appears that natural gas is
20 reasonably abundant, and the system planner has a wider
21 choice of options for adding new capacity. Widespread
22 use of the philosophy of an optimum generation mix,
23 which Mr. Wright uses as a basis for his method, did
24 not really take hold until some time in the 1970's. By

25

Docket No. 891345-EI
Witness: M. W. Howell
Page 53

1 that time, the bulk of Gulf's current generating
2 resources had either been constructed or committed.

3 Also, Mr. Wright's theory only holds true for a
4 single system, and is totally inapplicable for a
5 pool-type operation such as that in which Gulf
6 operates. It also ignores economies of scale, in that
7 a small peaking unit could cost almost as much in \$/kw
8 as a very large base load unit. It also fails to
9 recognize that in a pool operation, a utility might
10 actually purchase most of its energy from other pool
11 members during many hours. His proposal also cannot
12 account for hydro, a peaking capacity that frequently
13 is base-loaded in valley hours.

14 Thus, the methodology which Mr. Wright proposes
15 does not apply at all to the system planning
16 considerations which were in effect at the time Gulf's
17 existing generating units were constructed. His method
18 should be recognized for what it is -- an overly
19 simplistic generalization which might be intellectually
20 interesting, but which is not at all applicable on a
21 system such as Southern.

22

23 Q. From a system planning standpoint, are there problems
24 with the equivalent peaker method?

25

1 A. Yes. The equivalent peaker method shifts a
2 considerable burden of funding production capacity on
3 the high load factor user. Basically, such a customer
4 is paying for the relatively expensive coal plants,
5 whereas the low load factor customer is only paying for
6 relatively inexpensive peaking capacity. Under Mr.
7 Wright's proposed allocation, all customers would
8 continue to pay average fuel costs for all energy
9 utilized. Thus, the high load factor customer would
10 pay for high cost generating capacity and high cost
11 fuel.

12 This method would thus cause a significant shift
13 in cost from the low load factor customer to the high
14 load factor customer. This would discourage the high
15 load factor customer from utilizing utility power. The
16 result would be an increasing shift to a sharp peak and
17 a shallow valley. Over time, this would cause a
18 utility to add additional oil fired peaking units,
19 underutilize the coal units, and increase oil usage.
20 This runs exactly counter to this Commission's goals of
21 reducing our dependence on oil and would actually
22 violate the state's goals towards reduction of our
23 dependence on petroleum fuel.

24
25

1 Q. What about rate stability?

2 A. I find it very interesting that Mr. Wright states on
3 page 10 of his testimony that one goal of proper rate
4 setting is to establish rate continuity and stability
5 and to avoid rate shock. Utilization of the equivalent
6 peaker method, however, would have exactly the opposite
7 effect, in that it would cause rate shock. As high
8 load factor customers realize a higher cost, they will
9 subsequently decrease their consumption of electricity
10 in the off-peak as in all hours, especially as they
11 convert to their own generation. This results in an
12 increase in price for all remaining customers.

13

14 Q. Is the basic theory of the equivalent peaker method
15 correct?

16 A. No. Mr. Wright states on page 13 of his testimony that
17 if a utility were building a generating plant only to
18 serve a brief peak demand, it would build the least
19 expensive peaking units available. This theory is
20 extremely flawed and presents one of the biggest
21 concerns I have with his proposed method. The
22 equivalent peaker method is only a theory. It does not
23 recognize real life conditions.

24 Taken to its extreme, it actually suggests that a
25 utility's generation would consist of all combustion

1 turbines if it had a sharp peak and no load in the
2 valley. In fact, there is no utility system with such
3 a load. Although utility load factors vary anywhere
4 from approximately 40 percent to perhaps up to 70
5 percent, they all typically consist of a mix of
6 industrial, commercial, and residential load. If there
7 were such a thing as a peak in the absence of other
8 off-peak load, a utility simply could not afford to
9 serve its customers with the expensive cost even of
10 peaking generation. There must be considerable
11 off-peak load, as well as the peak load, to justify the
12 installation of generating equipment. In the absence
13 of off-peak load, the utility would have no choice but
14 to attempt to buy power for the short duration of the
15 peak or attempt through load management to simply cut
16 the load.

17 Especially in today's market, in which many
18 utilities are opting for bidding as a means to meet new
19 generation, the cost to meet a sharp brief peak would
20 be extremely unstable, vacillating wildly from year to
21 year depending on market conditions and availability of
22 non-utility suppliers. Such wild swings in cost would
23 do nothing to further Mr. Wright's professed goals of
24 stabilizing rates or providing customers with

25

1 confidence that they will be insulated from wild rate
2 shock.

3 Q. On pages 22 and 23 of his testimony, Mr. Wright asserts
4 that no change in fuel cost recovery would be necessary
5 under his method? Is he correct?

6 A. Absolutely not. Basically what he is proposing is that
7 customers with sharp peaks pay the construction costs
8 of a peaking unit and customers with flat load pay the
9 construction cost of a coal unit. It hardly seems fair
10 for a customer who pays only the low capacity cost of a
11 combustion turbine (CT) to enjoy the benefits of low
12 cost coal energy that flow from the higher priced base
13 load capacity for which another customer has paid.
14 There is no way to avoid this "fuel symmetry" problem
15 that critics of the equivalent peaker method have
16 discovered.

17
18 Q. On pages 32 and 33 of Mr. Wright's testimony, he states
19 "the company should estimate the rate base value of
20 primary and higher voltage-level conductor that
21 functions as dedicated distribution facilities, or as a
22 higher voltage service drop, and directly assign these
23 estimated amounts to the classes that include the
24 customers who are served by these facilities." From a
25

1 system planning standpoint, are there conceptual flaws
2 to this suggestion?

3 A. Yes, there are. As we expand the system to serve new
4 load, it may happen on many occasions that a new
5 distribution line, or even a new transmission line, may
6 be necessary to provide the needs of a new customer.
7 But Gulf is not dedicating these facilities solely to
8 that customer. As new load in the vicinity develops,
9 and it is economical to serve additional customers off
10 this line extension that formerly served only one
11 customer, such additional load will be added. The
12 logical first option in serving a new customer where no
13 facilities exist is to examine those facilities which
14 are geographically most convenient, whether or not they
15 serve other customers in the vicinity. We certainly do
16 not go all the way back to the substation to serve a
17 new customer just because existing facilities may serve
18 only one customer. It simply isn't practical or cost
19 effective, in general, to reserve facilities for a
20 single customer.

21 This is especially true in the case of high
22 voltage lines. A good recent example is our new 115 KV
23 transmission line that serves Pensacola Naval Air
24 Station (NAS). NAS was adding new load that could not
25 reasonably be served over the existing 12 KV system

1 providing their service. To provide adequate service,
2 a new 115 KV line was constructed to NAS from our Bayou
3 Chico Substation. The only load on this existing 115
4 KV line is the NAS load, but it is not reserved for
5 them. We have current plans to build a new 115 KV line
6 out of the NAS Substation on to Beach Haven Substation
7 to provide necessary reliability to loads in this area.
8 Thus, this 115 KV tap line will become part of the
9 network. There are any number of situations that might
10 arise on other 115 KV taps or 12 KV taps which serve
11 one customer, whereby we would tap such a line to
12 provide new customer load.

13 Thus, from a real-world perspective, Mr. Wright's
14 suggestions simply do not match realistic system
15 planning considerations.

16

17 Q. On page 33 of his testimony, Mr. Wright further asserts
18 that fuel inventory should be reclassified as
19 energy-related. Is this correct?

20 A. No. The amount of fuel inventory required for a
21 generating plant is a function to a large degree of its
22 capacity. There are factors which affect the required
23 inventory of a generating plant which are far more
24 important than the expected annual kilowatt hour
25 generation. Since most of these relate to the megawatt

1 size of the unit, his proposal is seriously flawed.

2

3 Q. Would you please summarize your testimony?

4 A. Office of Public Counsel's witness, Mr. Rosen, has
5 recommended that Gulf's 63 mw of Scherer Unit No. 3
6 should not be included in the rate base. Mr. Rosen
7 used incorrect numbers in his calculations which led
8 him to this conclusion. I have shown how the numbers
9 he used are wrong, leading him to wrong conclusions,
10 and how this resulted in his unsupported
11 recommendation. I have also demonstrated that Mr.
12 Rosen is recommending that this Commission completely
13 reverse its previous decisions regarding the prudence
14 of Gulf's participation in Plant Scherer and the unit
15 power sales, and that Mr. Rosen has violated every
16 basic principle of determining prudence in attempting
17 to fabricate an incorrect basis for a penalty to Gulf
18 Power Company.

19 I have shown that the Scherer capacity was
20 prudently acquired, that Gulf has marketed off-system
21 power to the maximum extent possible, that the Scherer
22 transmission "rental" amount proposed by Gulf is
23 correct, and finally, that the equivalent peaker method
24 of cost allocation and dedicated facility philosophy
25 proposed by Mr. Wright are based on flawed assumptions.

26 Q. Does this conclude your testimony?

27 A. Yes.

1 Q (By Mr. Holland) Mr. Howell, do you have a
2 summary?

3 A Yes.

4 Q Would you please proceed?

5 A Commissioners, you heard from Mr. Rosen
6 earlier this week, and he held himself out as a person
7 who is qualified to advise the Commission regarding
8 Gulf's rate case, but he did acknowledge and even
9 volunteered his unfamiliarity with the past prudence
10 determinations regarding Scherer. He volunteered that
11 he was confused over Gold Rock. He acknowledged he
12 made a major error in calculating our reserve margin,
13 which mislead him to false conclusions. I think these
14 demonstrate that he is not quite yet prepared to advise
15 this Commission on rate base matters which greatly
16 affect Gulf Power's financial health.

17 He did make a major error in calculating
18 Gulf's reserve margin because he didn't realize our
19 contracted Gulf state sales for 1990 were only 44
20 megawatts, not the 150 megawatt level that existed when
21 the Gulf State sales were suspended in 1988.

22 This error he made misled him regarding
23 Gulf's required reserve level.

24 In attempting to correct that error during
25 cross examination, he did introduce changes to his

1 prefiled. As a result of that, he now has his prefiled
2 testimony contradicting itself.

3 He failed to consider any long-term impacts
4 in his recommendations. He would have you to abandon
5 all the long-term considerations for short-term
6 considerations. The record is clear that you have
7 encouraged us to acquire Scherer; that you found
8 Scherer to be prudent in the long-term best interest of
9 our customers.

10 His prefiled testimony clearly states that
11 the reason for proposing the disallowance of Scherer is
12 that it costs more than pool capacity in the test year.
13 He repeatedly made this clear in his prefiled
14 testimony.

15 He admitted he is unfamiliar with the reserve
16 margin range which this Commission has approved for
17 prior rate cases; that he's not familiar with the
18 Commission's planning hearings; that he's not familiar
19 with the Commission's own consultant's review of the
20 1986 planning hearing, and yet he went ahead and
21 calculated an excess reserve margin for Gulf that he
22 proposed.

23 In doing so, he failed to account for all the
24 capacity which we sell through interchange, and he did
25 not make any adjustment for the additional capacity

1 which we have gotten out of our existing units since
2 1984 as a result of the Commission's own GPIF program.

3 He was careful never to challenge the
4 prudence of acquiring Scherer, but he would not
5 acknowledge that once it's acquired, it's a resource
6 that must be paid for by those who gain the benefit in
7 the long term, and that's the territorial customer.

8 Commissioners, we are sensitive to the
9 Staff's concern over the Scherer capacity being
10 completely sold in 1995. But these new sales will
11 result in lower long-term cost to our customers by
12 allowing less expensive CT capacity to be added in
13 1995, and then allowing Scherer capacity to return to
14 territorial use at the end of the new sales.

15 Witness Schef Wright proposes a peaker method
16 for allocating demand and energy cost based on his
17 understanding of system planning considerations.

18 His approach is based on theory. It does not
19 match the actual system planning reality which has
20 existed on the Gulf Power system. His method would
21 cause all customers to eventually have higher cost;
22 would cause an artificial shift in fuel use from coal
23 to oil; would be counter to this Commission's goals
24 regarding fuel use; would be counter to the
25 Legislature's intent regarding getting Florida off of

1 oil.

2 In summary, we're asking you to do two
3 things: One, to allow proper full recovery for the
4 Scherer capacity, and to reject the equivalent peaker
5 capacity proposed by Mr. Wright.

6 This completes my summary.

7 MR. HOLLAND: Tender Mr. Howell.

8 CROSS EXAMINATION

9 BY MR. BURGESS:

10 Q Mr. Howell, as I understand it, one of the
11 criticisms you have with the equivalent peaker method
12 is that in today's market utilities might opt for
13 bidding as a means to meet new generation, particularly
14 with regard to meeting a drastic peak, is that correct?

15 A Yes.

16 Q And I think you indicate that the costs
17 would then be extremely unstable and they would
18 vacillate wildly from year to year.

19 A That very likely could happen, and would send
20 the wrong signals to the customers in that they would
21 never know what to expect for that cost. It would
22 depend on what the market was, and we have seen in the
23 past, and I think should be prepared to expect in the
24 future, drastic swings in the markets.

25 Q Within the context of this description, what

1 do you consider to be drastic swings or fluctuation?

2 A Well, I would say that there may be some
3 years you could get this. As Witness Dawson earlier
4 talked about, you may not have to pay a capacity
5 charge, depending on the market. You might be able to
6 just buy it as energy, and, therefore, your capacity
7 cost would be zero. If capacity were short, as we have
8 experienced in the past, you may not be able to buy it
9 at any price. That happened as recently as December of
10 1989 when you could not buy capacity at any price in
11 Florida.

12 Q So what costs would you call that then?

13 A I'm sorry, what's the question?

14 Q What cost would you call that, then, if
15 you're talking about the costs vacillating wildly from
16 year to year?

17 A If, for example, in December, if you couldn't
18 get it, we would say the price would be infinite. So
19 going from zero to infinity, I would call that
20 vacillating quite a bit.

21 Q Okay. So you're talking about infinite costs
22 as being a problem with dealing with it along these
23 lines.

24 A Certainly if it's not available at all, and
25 that's what we saw in December.

1 Q Now, wouldn't Gulf or Southern Company build
2 its own peaker to meet an anticipated peak if that
3 would be less expensive than what it anticipated that
4 it would have to pay in a bidding system?

5 A Are we talking now about the concern of the
6 vacillation in the price?

7 Q Yes.

8 A Yes. What we would do is try to estimate
9 what we thought the price might be, if we could do
10 that; and we might, and I would think we would, go
11 ahead and make arrangements to the capacity rather than
12 just waiting to see what the price might be, but you
13 may not be able to do that.

14 Somebody might not be willing to sell you
15 capacity on just a very sharp peak basis. They might
16 only be willing to sell you capacity if you buy it for,
17 say, several years. So you're at the mercy of the
18 market then if you don't buy what I think he might
19 characterize as baseload capacity, you might be at the
20 mercy of the market in trying to buy capacity just for
21 the sharp peak, one-hour type capacity.

22 Q But if the price is too much, or if the price
23 reaches a certain point, Gulf or Southern Company would
24 simply build its own peaking unit, is that correct, to
25 meet that peak?

1 A Well, I can't say for sure, because one of
2 the problems we run into is where does real life
3 operation stop and where does the theory start?

4 And I think if we look at what happened at
5 the Christmas freeze in 1989, it's my understanding,
6 and you can correct me if I'm wrong, that the utilities
7 in Florida recognize that once every five or so years
8 they do get a severe front coming through, and right
9 now I don't believe they anticipate adding capacity for
10 a reoccurrence, say, of the December 1989 freeze. If
11 that happens again, their plan is to try to offer the
12 customer as much advance notice that they are going to
13 drop the load, and their plan is to not serve the load
14 for that we might call a brief peak.

15 Q Then in that case they wouldn't incur the
16 infinite costs that you were talking about?

17 A That's right. They would not build the
18 capacity. And my point is that Mr. Wright's theory
19 presumes that for a brief peak you would always build a
20 peaker. In fact, you may decide it's better,
21 considering all the variables, to just not serve that
22 peak. And, in fact, if Gulf --

23 COMMISSIONER GUNTER: Mr. Howell --

24 WITNESS HOWELL: Yes, sir.

25 COMMISSIONER GUNTER: Are you aware that we

1 have one utility in the state that is contemplating at
2 this time either somewhere between 6 and 900 megawatts
3 of peaking capacity?

4 WITNESS HOWELL: Yes, sir.

5 COMMISSIONER GUNTER: Okay.

6 WITNESS HOWELL: And I appreciate that, and
7 as well as Gulf and Southern are planning to add
8 peaking capacity as the next capacity.

9 My only point was that I don't think they are
10 planning to add enough capacity for reoccurrence of the
11 Christmas freeze.

12 The cost effective thing to do, I think, has
13 been determined to be don't try to serve that peak.
14 And that's the only point I was trying to make, is that
15 Mr. Wright assumed in his methodology that you would
16 always serve the peak and, in fact, it may not be cost
17 effective to do so.

18 Q (By Mr. Burgess) Well, to the extent there
19 would be wildly fluctuating costs, they would be capped
20 by the cost it would take to build its own peaking
21 unit, wouldn't it?

22 A Only if you built it.

23 Q And if you chose not to serve the load, then
24 you wouldn't be incurring those costs anyway, would
25 you?

1 A You would only choose not to serve the load
2 if you could not secure capacity. Obviously if you
3 didn't construct the generation, and you were depending
4 on the market, you would make every attempt to try to
5 secure capacity to serve that load. And if you were
6 unable to, then you'd just have to not serve it. So it
7 really all depends on how you went into the situation.
8 And my only point is that you would not necessarily
9 always build a peaker to serve peak load. (Pause)

10 Q Do you know what the planning criterion is
11 to the state as far as loss of load probability?

12 A There are two criteria, two separate sets of
13 criteria. The peninsular has one set and Southern has
14 another set.

15 Q Do you know what it is for Peninsular
16 Florida?

17 A Yes.

18 Q Can you tell me what that is?

19 A As of a year ago, unless they've changed it,
20 it's .1 LOLP is their criteria.

21 Q And what does that equate to as far as the --

22 A Reserve margin.

23 Q No, as far as the number of days in a given
24 period of time that would be acceptable for not being
25 able to serve load.

1 A It really doesn't -- it doesn't equate; you
2 cannot equate it to that.

3 In reliability criteria, as we have struggled
4 with this with the Commission for a number of years,
5 and you all know this, the .1 LOLP is very difficult to
6 comprehend compared to a reserve margin which is
7 somewhat easy for see. Some have tried to explain LOLP
8 as a .1 LOLP means a tenth of a day per year, or one
9 day in ten years.

10 Q That's my question, is one day in ten years.

11 A That's what I was getting to. That's what
12 has been explained by some, but that is not what the
13 calculation means. The calculation is a rather
14 comprehensive, and I will acknowledge, complicated
15 calculation that looks at the probability in all of the
16 periods that you break it down into. If you try to
17 equate it to something, the one day in ten years is a
18 little misleading as far as I'm concerned. That's not
19 not what the .1 LOLP means.

20 Q Is one day in five years what it means?

21 A No, that's what I'm saying, it does not mean
22 that. The .1 LOLP means literally if you look at all
23 the cumulative probabilities of not being able to serve
24 the load in all the periods where you disaggregate the
25 load period, they sum up to 0.1 for the year.

1 COMMISSIONER GUNTER: So what you're really
2 talking about is sort of a statistical probability.

3 WITNESS HOWELL: Yes, sir, that's a good
4 characterization.

5 COMMISSIONER GUNTER: As versus an actual one
6 day in ten years.

7 WITNESS HOWELL: Yes, sir, that's right.

8 COMMISSIONER GUNTER: The statistical
9 probability over that time period, if you set a number
10 of factors together, it could perhaps be equated to one
11 day in ten years?

12 WITNESS HOWELL: That's right.

13 COMMISSIONER GUNTER: But you have to have
14 all the blocks together for it to work out that way.

15 WITNESS HOWELL: Yes, you do.

16 COMMISSIONER GUNTER: Isn't that right?

17 WITNESS HOWELL: That's right.

18 COMMISSIONER GUNTER: Okay.

19 WITNESS HOWELL: That answer your question?

20 Q (By Mr. Burgess) Yes. And my question with
21 regard to that is: Then isn't that inconsistent with
22 your comment that peninsular utilities are simply
23 anticipating at this point not being able to meet load,
24 to serve their load, once every five years?

25 A No. Not at all. The utilities don't know

1 how often they're not going to be able to serve the
2 load. They do recognize that severe cold fronts come
3 through and recently it has been on the order of once
4 every five years. We had one in 1983, I believe, where
5 there were problems. I don't think they were anything
6 like what they were in 1989.

7 We don't normally get that cold a weather in
8 the peninsula every year, but about every five years,
9 you have one come through. Sometimes it's two years in
10 between, sometimes maybe 10 or 15 years in between.
11 They just don't know.

12 But my point was that, as a result of the
13 analysis of what happened in Christmas of 1989, the
14 utilities have determined that it's not practical to
15 try to construct generation to serve that kind of load
16 because it occurs so infrequently. And they have
17 decided for now, at least, that they just won't
18 construct capacity to serve that load, they will let it
19 go unserved.

20 That is not in any way connected with the
21 criterion of .1 LOLP. Because if you recall what I
22 said earlier, part of what you do in the LOLP analysis
23 is you divide your load into various periods and you
24 use what we call a weather-adjusted load forecast which
25 does not take into account these unusual aberrations in

1 weather. So the two are really not related.

2 Q So what you are saying, you would expect a
3 peninsular utility that built based on a .1 LOLP to
4 experience outage or inability to serve load about once
5 every five years?

6 A No. I didn't say that.

7 Q I thought you indicated that that's what the
8 peninsular utilities are anticipating is simply not
9 being able to serve load about once every five years.

10 A No. I said in this particular instance, they
11 have deemed it not practical to try to serve that load.
12 They do know they have cold fronts come through, every
13 so, every four, every five years on average. Some of
14 the cold fronts, they're able to serve the load; some
15 they're not able to. It really depends on the
16 conditions that exist at the time.

17 If you look at all the conditions that
18 existed in December of 1989, if things that weren't
19 right or ideal would have been different, they would
20 have been able to serve the load. But you look at all
21 the things that happened to them and they were just
22 unable to serve the load.

23 If we got weather just like that again next
24 year and conditions on the system were different, they
25 might be able to serve the load. You again have to

1 look at the probability of being able to do it.

2 Q Within that probability of .1 LOLP, would you
3 expect the inability to be able to meet the load
4 requirements to take place at least once every five
5 years?

6 A I really don't have a feel for that because I
7 have not looked at how often and how much load they've
8 had to drop. I think all of us recognize that, with
9 all the press this one got last December, we looked at
10 it a little bit closer. I'm not familiar with some of
11 the others in as much detail as I am that one. (Pause)

12 Q Mr. Howell, is it correct that Gulf Power
13 intends to add peaking generation to its system in
14 1995?

15 A It was either '94 or '95. If you will give
16 me just a second, I'll look it up.

17 That's right.

18 Q And the purpose of this is to satisfy the
19 reliability criteria requirements for its system load?

20 A No.

21 Q Will you tell me what the purpose is.

22 A It's to satisfy the percent reserve
23 criterion.

24 Q Is it correct that the peak demands
25 anticipated are driving Gulf's or Southern's need to

1 add this peaking capacity?

2 A Right.

3 Q Is it correct that the combustion turbines
4 are being constructed or anticipated to be constructed,
5 rather than some other unit, because of the economic
6 considerations?

7 A Yes.

8 Q And when you agree with me that these
9 economic considerations are what drive the decisions as
10 to this type of plant, do you agree that what we're
11 talking about is that is the lowest projected present
12 worth revenue requirements of any other option that
13 would meet the same requirement -- meet the same
14 criteria?

15 A I think you asked two parts to the question.
16 What was the first part, did I agree with what?

17 Q That the economic consideration is one in
18 which this particular type of capacity you anticipate
19 to prove the lowest present worth revenue requirement
20 of the various alternatives?

21 A You're speaking of the 1995 addition?

22 Q Yes.

23 A The answer is yes.

24 Q As far as you know, has Gulf ever built a
25 baseload unit when peaking capacity would have provided

1 a lower projected present worth revenue requirement?

2 A Well, if you review that part of my rebuttal
3 testimony where I talk about that, planning is very
4 sophisticated now. We have very sophisticated computer
5 models, we have very sophisticated analysis tools which
6 we now use in looking at future generation. In the
7 past, we weren't nearly as sophisticated as we are now
8 and we didn't use these type of tools. And we didn't
9 use what you might call the present worth of revenue
10 requirements back then, it was more on judgment and
11 other factors.

12 And we can go all the way back, if you would
13 like, to when we first started adding capacity.

14 Q Would you say in hindsight that you have
15 added baseload capacity when peaking capacity would
16 have provided a lower total present worth revenue
17 requirement?

18 A Well, I really can't, I can't answer that yes
19 or no. Because in the past, when we had the freedom to
20 add CTs for many periods of time, there were problems
21 with CTs regarding reliability. And they might have
22 been available to add and on paper they might have
23 shown to be lower in cost, but the experience of other
24 utilities was such that perhaps it wasn't too wise an
25 option.

1 So we -- and I'm speaking now of perhaps 20
2 or more years ago. We have looked at other factors,
3 including our judgment and what our capacity options
4 are, and economics was not the only criterion on which
5 it was based.

6 I've said all that to say -- excuse me, go
7 ahead.

8 Q No, go ahead, I'm sorry.

9 A I said all that to say what I said in my
10 rebuttal, and that is that the considerations you use
11 change over time. And that's the main point.

12 Q Does that mean you've not gone back -- does
13 that mean you don't know whether any of the baseload
14 units that have been added were added when, even with
15 the advantage of hindsight, that those baseload units
16 were not the lowest present worth revenue requirement
17 alternative available to the system at the time?

18 A I think the answer is yes. And I'll
19 elaborate. I came into System Planning in 1976. And
20 no, I did not go back and look at what type of economic
21 evaluations were done for all the baseload type
22 capacity which Gulf added prior to that time.

23 Q What about since the time that you've been
24 involved in the planning situation?

25 A Since the time that I have been involved, the

1 answer is yes, that has been done. There are only two
2 instances where we've added capacity since then, and
3 actually only two instances since 73, when it was our
4 last baseload unit territorial. And that was in the
5 Daniel and the Scherer case. And the answer is yes,
6 that type of analysis was done, the economic analysis.

7 Q In generation expansion planning, is it
8 correct that one of the steps is to select a list of
9 the generating technologies that are candidates for
10 future additions?

11 A Are we speaking of what has happened in the
12 past or what our present practice is?

13 Q What your present practice is.

14 A Yes. That's true in our present practice.
15 You note that our present practice started, that I'm
16 familiar with, in mid 1976. We have not had to commit
17 to any new capacity since then.

18 Q Are you saying -- well, let me ask. Were
19 Plant Daniel, the construction of Plant Daniel and
20 Plant Scherer, the subject of this type of economic
21 analysis that's included in the Southern System
22 generation expansion planning document?

23 A I rather doubt it. Because Plant Daniel, the
24 planning for that started in the early '70s or maybe
25 before, long before I came into System Planning. I do

1 know some economic analysis was done, but I feel sure
2 it was not anywhere near the rather sophisticated
3 approach we now have.

4 Plant Scherer, also, the plans for that were
5 laid long before I came into System Planning as far as
6 adding that capacity on the system. I'm not that
7 familiar with what economic options might have been
8 done that initially resulted in that being included in
9 the system expansion plan.

10 Q When you say it was less sophisticated, does
11 that mean that they would not have begun with first
12 developing the various alternative plans that might
13 meet the requirements for the system?

14 A Well, it means that it's so far back and
15 before my time that I really don't know in detail what
16 they did. I know what resulted, but I don't know what
17 type of, I don't know what kind of capacity options
18 they might have looked at. You'll find that, as I said
19 earlier, we're far more sophisticated, far more
20 paranoid about keeping records now; and you just don't
21 find those kind of records any more. These decisions
22 occurred over 20 years ago and that's a long time for
23 us to go back.

24 Q I understand. So you don't know, really,
25 what all did go in, what the various steps in the

1 planning processes were for the units that were on line
2 or the planning stages had reached a fairly extensive
3 point by the time you started working for Gulf?

4 A I'm sorry?

5 Q By the time you became involved in the System
6 Planning in 1976, --

7 A Okay.

8 Q -- you are not aware of the various steps in
9 the planning stages or in the planning phase of
10 determining which plants to bring on to the system?

11 A Certainly not in detail in all cases. I will
12 tell you that initially on the Southern System the only
13 capacity we had, basically, was hydro. And we tried to
14 match load to capacity. And we did that because it was
15 a very good, cheap energy resource.

16 When we exhausted the economic hydro, we
17 started adding small oil, gas and coal steam units.
18 The first CT that Gulf added had to do with meeting the
19 peak in the construction time frame. It was not
20 associated with any economics, it was just trying,
21 saying, "What capacity is available to meet the peak
22 that we see coming?"

23 CHAIRMAN WILSON: Mr. Burgess, could you make
24 a brief proffer of evidence as to where you're going
25 here?

1 MR. BURGESS: Basically, I'm dealing with the
2 rebuttal testimony in the question of his criticisms of
3 the equivalent peaker method. And the equivalent
4 peaker method is based on the planning process in the
5 determination of which plants to bring on line or which
6 plant to construct, what type of generating unit to
7 construct.

8 And so, as I understand it, that's the basic
9 premises of the criticism, that the equivalent peaker
10 method does not follow that particular planning. So it
11 seems to me it's relevant to or directly responsive to
12 his rebuttal testimony.

13 COMMISSIONER BEARD: A lot of discussion of
14 the equivalent peaker method back in the '60s? Did you
15 use that methodology to develop the earlier hydro
16 plants, did we?

17 MR. BURGESS: It's my understanding that Gulf
18 is saying that the plants that are embedded at this
19 point were not, that the choice of the plant was
20 determined under a process that would not lend itself
21 to the economic considerations that we're dealing with
22 today. And I'm simply trying to find out precisely
23 what economics processs or economic considerations were
24 being brought into the determination of which plants
25 to, what type of generating plant to build.

1 CHAIRMAN WILSON: Well, let's move on along
2 here. (Pause)

3 Q (By Mr. Burgess) Mr. Howell, are all demand
4 loads projected to be served by the Southern System
5 included in the generation expansion analyses conducted
6 by Gulf? Are all of the demand loads that are
7 projected to be served by the system, included in the
8 expansion analyses?

9 A You mean the territorial load of our
10 customers; is that included?

11 Q Yes.

12 A The territorial load is included. I'm not
13 sure I understand if I'm answering your question or
14 not.

15 Q You are. Are you including the interruptible
16 demand?

17 A Well, as far as the generation expansion
18 plan, we include all the demand, but the interruptible,
19 we recognize that that's a nonfirm load, so we can
20 interrupt that. So from that standpoint, it is not a
21 load that we would commit generation to serve. Does
22 that answer your question?

23 A Yes, it does. Thank you.

24 In determining the most economic plant to
25 build, do you include the interruptible load as one of

1 the anticipated loads that will be served under the
2 various alternatives?

3 A As far as the demand, we are talking about?

4 Q No, as far as what the total overall cost of
5 the various alternatives would be.

6 A I'm sorry, I don't understand then.

7 COMMISSIONER GUNTER: I think he's trying to
8 say when you're doing your planning, you've got a
9 bucket over here with demand in it.

10 WITNESS HOWELL: Firm demand?

11 COMMISSIONER GUNTER: Firm demand.

12 WITNESS HOWELL: Okay.

13 COMMISSIONER GUNTER: Now, do you include any
14 interruptible demand when you're deciding what kind of
15 plant to build? Do you plan capacity for interruptible
16 load?

17 WITNESS HOWELL: We don't plan to meet the
18 interruptible load, no.

19 COMMISSIONER GUNTER: Do you plan capacity to
20 meet interruptible load?

21 WITNESS HOWELL: We would not add capacity to
22 meet the interruptible load.

23 COMMISSIONER GUNTER: Do you plan capacity --
24 do you plan interruptible demand in your capacity
25 expansion plan?

1 WITNESS HOWELL: Well, all of the energy
2 associated with that, we do. I don't understand the
3 question.

4 COMMISSIONER GUNTER: I'm trying to ask it
5 every way. Do you -- when you have a generation
6 expansion plan, do you look at interruptible, that
7 interruptible --

8 WITNESS HOWELL: Yes, sir, we take it into
9 account. We take everything into account.

10 COMMISSIONER GUNTER: So you build capacity
11 for interruptible load? If you're considering it and
12 it's all in the demand component.

13 WITNESS HOWELL: We would not -- for example,
14 if we were adding capacity to meet 20% reserve margin,
15 we would not put in capacity to serve the interruptible
16 load because it is not going to be there.

17 COMMISSIONER GUNTER: Great. Okay. Great.
18 I apologize. I just had to keep --

19 WITNESS HOWELL: Yes, sir, I think everytime
20 I testify, I have trouble with at least one question.

21 MR. BURGESS: I have trouble with at least
22 one witness.

23 WITNESS HOWELL: I'm glad it's not me this
24 time.

25 COMMISSIONER EASLEY: We're setting records.

1 CHAIRMAN WILSON: We always have trouble with
2 at least one lawyer.

3 COMMISSIONER GUNTER: Yeah, but he gives me a
4 ride on his --

5 MR. BURGESS: Take that to heart.

6 COMMISSIONER GUNTER: Yeah, but he gives me a
7 ride on his truck.

8 Q (By Mr. Burgess) Is it correct that the
9 generation expansion analyses are not run for any
10 particular subset of hours each year?

11 A I'm sorry, what now?

12 Q When you are determining the economic
13 considerations of the various generation expansion
14 possibilities, in that analysis, do you run the
15 analysis for any particular subset of hours for each
16 year?

17 CHAIRMAN WILSON: Of "yours"?

18 MR. BURGESS: Pardon?

19 CHAIRMAN WILSON: Of "yours"? Of "ours"?
20 Oh, you mean "hours."

21 COMMISSIONER GUNTER: Wait until 10:30.

22 WITNESS HOWELL: I need a clarification
23 there. I don't know if you're talking about the
24 capacity determination based on the demand, or if
25 you're talking about the production cost associated

1 economical analysis. Which one are we talking about?

2 Q (By Mr. Purgess) The latter.

3 A The latter?

4 Q Yes.

5 A When we do the analysis, depending -- in the
6 mix program, yes, it does separate the year into
7 typical periods so that the method of doing production
8 cost analysis, which is a probablistic type technique,
9 will more accurately capture the expected production
10 cost. So from that standpoint, it divides the year
11 into proper periods to get a little bit better picture
12 of the production costs. If we only looked at one
13 period in a year, it would not give a very accurate
14 picture of the production costs.

15 Q So it does include all the energy anticipated
16 to be sold in a given -- in all the years for which the
17 particular alternatives would be in effect?

18 A Yes, it looks at all the territorial load
19 that we anticipate having an obligation to serve.

20 Q Now, you're familiar with the equivalent
21 peaker and the refined equivalent peaker methods of
22 classifying the costs of baseload generating units,
23 aren't you?

24 A No, sir.

25 Q You're not?

1 A That's correct. My testimony was addressing
2 the system planning considerations, and I'm familiar
3 with that. All the other stuff they do, you need to
4 talk to maybe some other witness that we've sponsored.

5 Q Would you explain what you mean on Page 57 of
6 your testimony, beginning on Line 9 where you indicate
7 that it hardly seems fair for a customer who pays only
8 the load capacity cost of a CT to enjoy the benefits of
9 low cost coal energy that flow from the higher priced
10 baseload unit?

11 A Well, in the method proposed by Mr. Wright,
12 he's proposing, based on his testimony, that all
13 demand-related costs be associated with whatever the
14 demand is, and then if you have a unit that's not a
15 baseload unit, that you take the sum equivalent cost,
16 which I'm not sure exactly how they get, and include
17 that as a demand-related cost. And then, whatever
18 investment is left over, after you've taken out
19 whatever part would apply to a peaking equivalent, you
20 put that investment and recover that through the energy
21 cost.

22 Basically what that's doing is asking a
23 customer who is -- uses off-peak energy, is going to
24 pay more of the capacity charge, it's asking him to pay
25 higher capacity charge and still pay for the high cost

1 energy associated with the CT.

2 To my way of thinking, if a fellow is going
3 to be charged for the full cost of a baseload unit, and
4 another customer is not, I would want to take all the
5 coal-generated energy for myself, since I paid for the
6 baseload unit, and then let the fellow that paid for
7 the CT pay for the cost of the energy associated with
8 the CT. And that was what I was saying; it just hardly
9 seems fair.

10 Q Is this residential class a low load factor
11 class?

12 A I don't know what the load factor is. I'm
13 not the witness for that.

14 Q Do you know what the various classes'
15 allocated responsibility of the production costs are
16 under the equivalent peaker or the refined equivalent
17 peaker methods?

18 A I don't even understand the terms you are
19 using. I'm sorry. (Pause)

20 Q Well, if -- if a particular customer class is
21 receiving the benefits of the -- of the low -- excuse
22 me, strike that.

23 With regard to your particular criticism that
24 you have a problem with a customer who pays only the
25 load capacity costs of a combustion turbine, then

1 enjoying the benefits associated with fuel from a
2 higher capital cost baseload unit, do you know whether
3 that's happening, if you don't know what the particular
4 portions of those costs that each customer class is
5 bearing?

6 A Well, I think it goes back to what I said
7 earlier in that testimony, if you'll look at Page 6 --
8 I'm sorry, on Line 6 there, and my testimony there was
9 my understanding, and you can correct me if I'm wrong,
10 it says basically what he, Mr. Wright, is proposing, is
11 that customers with sharp peaks pay the construction
12 costs of the peaking unit, and customers with flat load
13 pay the construction costs of a coal unit.

14 Now, that's the impression I got from reading
15 his testimony. And based on that, you're asking
16 customers that have a sharp peak to only pay the cost
17 of a CT. You're asking customers with a flat load
18 shape to pay the cost of a coal unit. And to me, if
19 you're going to segregate what kind of plant they buy,
20 they ought to get the energy out of it. And that's
21 what I was saying is a little unfair to me.

22 COMMISSIONER BEARD: That's a new concept, we
23 have load-bearing customers?

24 WITNESS HOWELL: I'm sorry, what?
25 Load-bearing members maybe?

1 CHAIRMAN WILSON: Sharp peaks.

2 MR. BURGESS: Thank you, Mr. Howell. That's
3 all we have.

4 CHAIRMAN WILSON: Mr. Palecki?

5 CROSS EXAMINATION

6 BY MR. PALECKI:

7 Q When Gulf was evaluating the purchase of
8 Scherer, did Gulf consider peaking capacity as an
9 alternative in its analysis?

10 A Going back to that time frame, the answer is
11 yes, we did consider it and we rejected it.

12 Q And when was peaking capacity considered as
13 an alternative?

14 A I can't really give you an exact time frame.
15 We were aware that the fuel -- basically in 1973, if
16 we'll go back to that time frame -- when the Arab oil
17 embargo sharply increased the price of oil, and then in
18 1979 when you saw oil prices again double and almost
19 triple, our estimates at that time said that combustion
20 turbines would not be cost effective compared to
21 baseload units because of the expected prices.

22 I think in about 1985 we saw a significant
23 decrease in the price of oil and, therefore, the
24 expected future price of oil. Sometime in that time
25 frame in '85 is when, based on the estimates for

1 future, that we felt CTs were an economically viable
2 option.

3 I do recall that in 1984 we discussed CTs, we
4 evaluated them. There was a lot of concern on our part
5 about what's going to happen to the price of oil.

6 I think this Commission shared our concern.
7 They were pushing sales into Florida. Nobody knew what
8 was going to happen to the price of oil except we were
9 concerned it was going to rise. And I guess I can't
10 give you an exact date as to, you know, at this point
11 we didn't consider it; at this point we did. I've
12 tried to give you a feel for what our thinking was in
13 that time frame.

14 MR. PALECKI: We would ask for a late-filed,
15 Documentation of Analysis of Peaking Capacity as an
16 Alternative to Purchase of Scherer. And any
17 documentation of that analysis you may have in your
18 files would satisfy that request.

19 CHAIRMAN WILSON: That would be Late-filed
20 Exhibit 617.

21 (Late-filed Exhibit 617 identified.)

22 Q (By Mr. Palecki) Are nuclear plants and
23 hydro plants included in Exhibit J of the IIC as "owned
24 fuel plants," by each company?

25 A Let me turn to that, okay?

1 MR. HOLLAND: Did you say hydro and nuclear,
2 is that -- I didn't catch that.

3 MR. PALECKI: In the question, yes, nuclear
4 plants and hydro plants.

5 A Exhibit J, you said, to the interchange
6 contract?

7 Q Yes.

8 A That's right.

9 Q Exhibit J of the IIC.

10 A Do you have a line number there you're
11 reading from?

12 Q No, I don't.

13 A I'm sorry, what was the question again?

14 Q Are nuclear plants and hydro plants included
15 in Exhibit J of the IIC as "owned fuel plants" by each
16 company?

17 A Okay. That's Line 3-B. No, that is not
18 true.

19 Q Is that the same answer for both nuclear
20 plants and hydro plants?

21 A Well, the hydro is included in Section Two.

22 The nuclear is included as a capacity there.

23 It is a fuel plant so it's part of the owned fuel
24 plants. Mr. Parsons testified earlier that it's not
25 included and he was referring to the capacity pricing.

1 We need to be sure we keep all this straight
2 in that the price of the nuclear units does not appear
3 -- is not a part of the calculation to determine the
4 price. It has to be a part of the calculation to
5 determine what your load responsibility is because it
6 obviously serves some load, so it is part of that.

7 Q Let me make sure I have the answer correct.
8 Nuclear plants are owned fuel plants; hydro plants are
9 not.

10 A As far as the capacity that is true. Not the
11 pricing.

12 Q On Page 26 of your rebuttal testimony you
13 said that Scherer allows Gulf to avoid the need to add
14 capacity between now and the mid-1990s.

15 If Gulf did not own 212 MW of Scherer, what
16 capacity would have to be added before 1995?

17 A Well, the Scherer capacity, along with all
18 the other capacity on the system, is what I'm referring
19 to. Obviously, if we did not have enough capacity on
20 Southern between now and 1995, we would have to add
21 some kind of capacity to satisfy our requirements.
22 Scherer is one, is part of the capacity which we have,
23 which allows us to not have to add other capacity.

24 COMMISSIONER BEARD: Let me ask that
25 differently if I can, maybe we can get there faster.

1 My understanding is with Daniel included, and
2 with Scherer excluded, you have 20% reserve margin?

3 WITNESS HOWELL: Commissioner, I'm not sure
4 what the number is. I will agree with Mr. Parsons that
5 if we did not have the 63 megawatts, if we sold it,
6 there is adequate capacity that we could buy from the
7 pool to where reliability would not be endangered. I
8 do not know what the number is. We could calculate it,
9 if you'd like.

10 COMMISSIONER BEARD: I've seen it on a
11 document, and I think it was without UPS sales 25 or
12 28, and with UPS sales it was around 20%. At any rate
13 my point would be this: Given that that were true,
14 just as a hypothetical or subject to further
15 re-examination or whatever, subject to verb, you're
16 within the range of 20 to 25%, right?

17 WITNESS HOWELL: Yes, sir.

18 COMMISSIONER BEARD: If Scherer didn't exist
19 on the face of the earth, never even been dreamed
20 about, what would you add between now and 1995?

21 WITNESS HOWELL: If the entire unit were not
22 there?

23 COMMISSIONER BEARD: Never even heard of
24 Scherer, doesn't exist, never heard of it, never
25 thought about it, but you have to decide today what

1 you're going to add between now and 1995 to meet your
2 overall system needs, which is not only reserve but
3 it's also demands of varying kinds.

4 WITNESS HOWELL: Just Scherer 3.

5 COMMISSIONER BEARD: Just Scherer 3.
6 Everything else is equal.

7 WITNESS HOWELL: That's 800 megawatts. Well,
8 as I recall, the system reserves are about 20%. If it
9 weren't there at all, it might have made a difference
10 in what we committed to sell. I doubt that we would
11 add anything if Scherer 3 weren't there because we're
12 within a reasonable range.

13 COMMISSIONER BEARD: Okay. I tried and
14 failed. It's your turn.

15 WITNESS HOWELL: I thought I answered that.
16 I'm sorry.

17 Q (By Mr. Palecki) I would like to ask the
18 same question that Commissioner Beard just asked, but
19 only in terms of Gulf's portion, and not in terms of
20 the entire Southern System.

21 A We would not add anything if we just didn't
22 have that. If we didn't have that in all of our other
23 resources, if you kept chipping away at what we now
24 have, we might have to add something. But it's part of
25 the resources that we have that allow us not to have to

1 add anything, and that's the point.

2 COMMISSIONER BEARD: Okay Let's assume that
3 we put the 63 megawatts in rate base, okay, as you've
4 requested. My understanding is that between now and
5 1995 you plan on adding some peaking capacity?

6 WITNESS HOWELL: In 1995.

7 COMMISSIONER BEARD: But now you're telling
8 me if we -- if the Gulf portion of Scherer didn't
9 exist, you wouldn't add anything.

10 WITNESS HOWELL: We wouldn't add anything
11 now, if, in fact, we didn't have any of the 800
12 megawatts on the Southern System, and we were 800
13 megawatts short, and there were -- and the unit power
14 sales is not a consideration, by '94 we probably would
15 add something. I'd have to look at it.

16 COMMISSIONER EASLEY: What would you add by
17 '94. Guess.

18 WITNESS HOWELL: If we didn't have Scherer 3.
19 We'd add a combustion turbine.

20 Q (By Mr. Palecki) How much of Scherer 3 is
21 dedicated to territorial service in late 1994? (Pause)
22 Would you accept, subject to check, 177 megawatts?

23 MR. PALECKI: We have 17 megawatts.

24 COMMISSIONER BEARD: Scherer 3.

25 MR. PALECKI: Scherer 3. Exhibit No. EBP-1,

1 Schedule 10.

2 WITNESS HOWELL: Commissioner, 177, that's
3 the right number but that's what's sold, so the part
4 that's committed to territorial would be the difference
5 in 212 and 177. For the record, that's 35, unless I
6 made a mistake. You said in late 1994. I assumed up
7 meant like the last half of the year.

8 MR. PALECKI: Correct.

9 WITNESS HOWELL: 35.

10 Q (By Mr. Palecki) Would having an additional
11 35 MW on the system allow you to avoid building a
12 plant?

13 A Avoid building which plant now? In 1994
14 we're not going to add anything.

15 Q A peaking plant in 1994.

16 A I'm sorry, I don't understand the question.

17 Q Well, you just said without Scherer you would
18 add a peaker in '94. Now we find out that the only
19 amount of Scherer that's included in the territorial
20 service is 35 MW.

21 A I think we're confusing what we do on Gulf,
22 with what we do on Southern, and if we did not on
23 Southern have Scherer 3, then my best guess is yes,
24 we'd add a combustion turbine in 1994 because we would
25 be short of capacity below what we expect our range to

1 be.

2 Q Would you add a combustion turbine for 35 MW?

3 A On Southern, no. I doubt that. We might.
4 You know, well, Gulf is part of Southern, if we're
5 right on the edge of needing to add capacity, at some
6 point you've got to add capacity. And I think all of
7 us realize that you probably wouldn't add capacity if
8 you're one megawatt short but at some point you're
9 going to be over a hump you say you need to add
10 capacity. So for 35 megawatts, that's a small amount
11 on Southern. We always look at what might be available
12 on Southern before we make any decisions to add
13 capacity.

14 Q I'd like to ask for another late-filed.
15 Could you please provide an exhibit which shows the
16 effect of a 10 W cogenerator, the effect a 10 W
17 cogenerator would have on Gulf's capacity receipts
18 through the IIC --

19 COMMISSIONER EASLEY: Didn't you ask for this
20 earlier?

21 COMMISSIONER GUNTER: 10 megawatt.

22 MR. PALECKI: 10 megawatt cogenerator, the
23 effect the 10 megawatt cogenerator would have on Gulf's
24 capacity receipts through the IIC if that 10 megawatts
25 were included as a capacity resource to Gulf.

1 MR. HOLLAND: Isn't that what you asked for?

2 COMMISSIONER EASLEY: I don't remember.

3 CHAIRMAN WILSON: The reason I had this
4 sounds really familiar.

5 MR. PALECKI: This has already been included.

6 MR. HOLLAND: There were late-fileds that
7 were right together, and I think the second one
8 Commissioner Easley asked for is identical to what you
9 just asked for.

10 MR. PALECKI: This is on an item that we have
11 been requested by --

12 CHAIRMAN WILSON: Well, go ahead, we'll give
13 it an exhibit number. If it's a duplicate, then you
14 only have to give one or make two copies. I don't
15 care.

16 MR. PALECKI: We'd like like you to provide
17 this in the same form as Exhibit J of the IIC.

18 (Late-Filed Exhibit No. 618 identified.)

19 WITNESS HOWELL: That's a 10 megawatt
20 cogenerator added to Gulf's system for which year?

21 MR. PALECKI: Included as a capacity resource
22 to Gulf in 1990.

23 CHAIRMAN WILSON: I have that as Late-filed
24 586 already.

25 MR. PALECKI: This is an item that Bob Trapp

1 wants.

2 CHAIRMAN WILSON: We can go ahead and leave
3 it with both numbers. Only supply it once.

4 WITNESS HOWELL: This is with the assumption
5 that it is a capacity resource. I think we've
6 testified earlier that if somebody came to us in 1990
7 we would say we don't need capacity right now, we
8 wouldn't put it in. But if you want to make the
9 assumption, am I understanding the hypothesis right?

10 MR. PALECKI: That is correct.

11 CHAIRMAN WILSON: You had previously asked
12 for that exhibit from Mr. Parsons?

13 CHAIRMAN WILSON: And you had previously
14 asked for that exhibit from Mr. Parsons?

15 COMMISSIONER EASLEY: In a different --

16 COMMISSIONER GUNTER: It was in a different
17 context, though, because in that time period we were
18 talking about the capacity equalization and what it
19 would do if you added additional capacity? And I think
20 the increments were the same, 10 and 20 megawatts, and
21 what it would do to that equalization process that
22 would take place throughout the -- we wasn't counting
23 Savannah. We thought there weren't but five companies;
24 but we found out, after reviewing you all's pretty
25 little thing, six companies in the Southern Company.

1 MR. HOLLAND: Five operating companies.

2 (Discussion off the record)

3 MR. PALECKI: So this is a separate
4 late-filed, since it is the effect of the plant on IIC?

5 CHAIRMAN WILSON: Yes.

6 WITNESS HOWELL: Is that 618?

7 MR. PALECKI: Yes.

8 (Late-Filed Exhibit No. 618 identified.)

9 Q (By Mr. Palecki) Is it correct that under the
10 IIC the energy charges Gulf pays to Southern when Gulf
11 buys power from the pool are based on the Southern
12 system's hourly economic dispatch sequence?

13 A Well, we don't use those terms, but it's
14 certainly based on, all the dispatch is based on the
15 economic, the system economic dispatch; and the price
16 that we pay is governed by what units are dispatching.

17 Q Is it correct that under the Company's IIC,
18 the capacity charges Gulf pays to Southern when Gulf
19 buys from the pool are based on monthly equalized
20 reserves?

21 A Yes.

22 Q Is it correct that, for a significant portion
23 of the costs incurred by Gulf when the Company is
24 buying power, that seasonal rates charged to the
25 ultimate customer are not tracking costs in the way

1 they are incurred?

2 A I don't know anything about seasonal rates.
3 Mr. Haskins could probably address that. I can talk
4 about the payments we make in the interchange.

5 Q Well, the reason I'm asking you is that, when
6 we asked Mr. Haskins these questions, he referred us to
7 you. And I could specifically refer to Mr. Haskins'
8 testimony, he said that Mr. Howell would be able to
9 answer these.

10 COMMISSIONER BEARD: Then he left.

11 (Laughter)

12 COMMISSIONER GUNTER: Are you saying he lied?

13 (Laughter)

14 WITNESS HOWELL: I'll be glad to explore this
15 with you and tell you what I know, but there's a lot I
16 don't know about ratemaking and rate setting.

17 MR. HOLLAND: I know there was an
18 interrogatory response that asked the same question
19 that we responded to, and for the life of me, I don't
20 know --

21 WITNESS HOWELL: We did have an interrogatory
22 response and I don't know exactly what it said. But it
23 said something to the effect of, "Why do you not have
24 seasonal rates in the interchange?" And we did
25 respond in there, as I will say now, that we base it on

1 the cost that's incurred. And this question came up
2 again, I recall, in my direct. We charge capacity
3 prices based on the cost that's incurred. And if the
4 plant is there year-round, then we charge it
5 year-round.

6 You might think of capacity as something that
7 maybe you borrow money to go build and the banker comes
8 around every month and says, "Pay me the interest on
9 the money you borrowed." And from that standpoint, the
10 capacity costs you on a monthly basis, so we charge on
11 a monthly basis. And all this, of course, is in strict
12 accordance with what FERC allows and approves.

13 Now, as to why that's different from the
14 seasonal rates from the standpoint of energy costs,
15 energy costs are very much, if you will, seasonally
16 adjusted in the interchange. Our costs are higher in
17 the summer, so we charge accordingly whatever the
18 prices are. They're lower in the off peak typically
19 because you have fewer of your higher-cost units
20 dispatching.

21 Other than that, I really don't know that
22 much about seasonal rates. I know we have a
23 winter/summer differential -- or I know we used to. I
24 have no idea how they calculated it.

25 MR. PALECKI: We have no further questions.

1 CHAIRMAN WILSON: Questions, Commissioners?

2 COMMISSIONER BEARD: Real quick.

3 CHAIRMAN WILSON: Five minutes?

4 COMMISSIONER BEARD: Yeah. Scherer 3, you
5 got 149 megawatts right now that are UPS sales, okay?

6 WITNESS HOWELL: Right.

7 COMMISSIONER BEARD: Tell me how the dollars
8 flow.

9 WITNESS HOWELL: Basically, we charge the
10 customer in accordance with how Mr. Dawson told you we
11 make up the capacity charge. That is paid -- that is
12 charged to the off-system purchaser, FP&L and JEA.

13 COMMISSIONER BEARD: And it's charged at the
14 Scherer 3 rate?

15 WITNESS HOWELL: Well, yes. All those
16 components he talked about, which include allocation of
17 general plant and all the things that are applicable to
18 that.

19 COMMISSIONER BEARD: And then Southern System
20 pays Gulf?

21 WITNESS HOWELL: Yes, sir. I think -- the
22 contract specifies, and I don't recall, that FP&L has
23 to wire the money to SCS to an account they have set
24 up; and I don't know how SCS gets the money to us, but
25 Arlan could probably tell you that.

1 But SCS just serves as a collection agent for
2 the companies. Because, particularly like in FP&L and
3 JEA, three different companies are making sales of
4 capacities that they have; so SCS charges, they get one
5 check, if you will, over the wire from the customer and
6 then SCS allocates the money out based on who is
7 providing what. But it is very much based on the
8 incremental cost of the unit.

9 COMMISSIONER BEARD: When it gets to Gulf
10 Power, where does it go?

11 WITNESS HOWELL: Mr. Scarbrough is coming up
12 after me and I don't know what he does with the money.

13 COMMISSIONER BEARD: Above the line? Below
14 the line?

15 WITNESS HOWELL: Okay.

16 COMMISSIONER BEARD: Wait on Mr. Scarbrough,
17 right?

18 WITNESS HOWELL: I think it will be best.
19 Because I do know that the capacity associated with
20 that is not in the territorial rate base. He is very
21 familiar with the accounting of that.

22 COMMISSIONER BEARD: That's fine, I don't
23 have anything further.

24 CHAIRMAN WILSON: Redirect?

25 REDIRECT EXAMINATION

1 BY MR. HOLLAND:

2 Q Mr. Howell, in response to Commissioner
3 Beard's question, though, you are aware that the unit
4 power sales is a separate jurisdiction from the retail?

5 A Yes.

6 Q In that the revenues derived from the UPS
7 sales would not be allocated to or put into the retail
8 revenue side?

9 A That's my understanding, as the cost of the
10 capacity is not in the rate base, also. So it's
11 consistent.

12 Q Okay. With respect to some questions you
13 were asked by Mr. Burgess, how many of Gulf's
14 generating units resulted from the planning method
15 described by Mr. Wright in his testimony?

16 A None.

17 Q Would the equivalent peaker method that he is
18 advocating cause more or less of the CTs or the peakers
19 to be built on Gulf's system long-term?

20 A Well, if we go to what he is saying, it will
21 cause more CTs to be built because it will send the
22 signals to the customer that there's no problem with
23 using energy or capacity over the peak. And you'll
24 find that you'll have a peakier type of load shape.
25 You'll get off of coal, you'll get on to oil. In the

1 future, you'll wind up building more CTs, you'll have a
2 higher demand, and that would be the result of that.

3 MR. HOLLAND: That's all I have.

4 CHAIRMAN WILSON: Anything further? All
5 right, thank you very much. You may step down.

6 How much cross examination do you have for
7 Mr. Lee?

8 MR. BURGESS: None.

9 MR. PALECKI: None.

10 COMMISSIONER EASLEY: He said none.

11 CHAIRMAN WILSON: All right, call Mr. Lee.

12 MR. HOLLAND: If no one has any questions, do
13 the Commissioners -- he's got a summary of his
14 testimony, we need to give him that opportunity.

15 MR. PALECKI: We have no objections to his
16 prefiled testimony being inserted into the record.

17 MR. HOLLAND: Let me confer with him for just
18 a minute. (Pause)

19 MR. HOLLAND: We can just stipulate his
20 rebuttal in, we'll send him home.

21 CHAIRMAN WILSON: All right, we'll do that.
22 Thank you. Without objection, the rebuttal testimony
23 -- wait a minute, I want to see your chart (Laughter).

24 COMMISSIONER BEARD: That's enough, back
25 away. That's really good.

1 COMMISSIONER EASLEY: I can understand that
2 one.

3 CHAIRMAN WILSON: Without objection, his
4 rebuttal testimony is inserted into the record and the
5 exhibits have already been stipulated?

6 MR. HOLLAND: Yes.

7 (Exhibits Nos. 126 through 128, inclusive,
8 stipulated into evidence.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

GULF POWER COMPANY

Before the Florida Public Service Commission
Rebuttal Testimony of
Colen R. Lee
In Support of Rate Relief
Docket No. 891345-EI
Date of Filing May 21, 1990

Q. Please state your name, business address and
occupation.

A. My name is Colen R. Lee and my business address is 500
Bayfront Parkway, Pensacola, Florida 32501. I am
General Manager of Power Generation for Gulf Power
Company.

Q. Are you the same Colen R. Lee who testified previously
in this proceeding?

A. Yes.

Q. What is the purpose of your testimony?

A. My purpose is to rebut the testimony of Mr. Helmuth W.
Schultz, and Ms. Roberta S. Bass and the positions
taken by them with respect to issues raised in this
case within the production function.

Q. Have you prepared an exhibit that contains information
to which you will refer in your testimony?

A. Yes.

1 Counsel: We ask that Mr. Lee's Exhibit, comprised
2 of 3 schedules, be marked for identification as
3 Exhibits 126-128 (CRL-2).
4

5 Q. Beginning on Page 18 of his testimony, Mr. Schultz
6 talks about turbine and boiler inspections. Mr. Lee,
7 do you agree with Mr. Schultz's testimony?

8 A. No. Mr. Schultz makes a conclusory statement that the
9 \$5.34 million budgeted in 1990 for turbine and boiler
10 inspections is not reasonable. His analysis does not
11 even attempt to review the work that has been budgeted.
12 Mr. Schultz has no experience in the construction,
13 operation or maintenance of power generation
14 facilities. I have been employed in some area of
15 generating plant engineering, maintenance and
16 supervision for twenty five years. My Department
17 Management Staff collectively, has 1,793 years of
18 generating plant experience which averages
19 approximately 20 years per person.
20

21 Q. Mr. Lee, what should the Commission allow for turbine
22 and boiler inspections?

23 A. As I stated in my direct testimony, since 1984 Gulf has
24 performed our turbine and boiler inspections
25 essentially as scheduled and all necessary work was

Docket No. 891345-EI
Witness: Colen R. Lee
Page 3

1 performed. Gulf budgeted \$5.34 million for turbine and
2 boiler inspections for 1990. The 1990 budgeted amount
3 is reasonable and should be the amount allowed by the
4 Commission. We estimate that Gulf's actual territorial
5 turbine and boiler inspection expense for 1990 will be
6 over the 1990 budget of \$5.34 million. These expenses
7 are for turbine and boiler work that is necessary in
8 1990. Therefore, I can assure the Commission that the
9 \$5.34 million that was budgeted for turbine and boiler
10 inspections is not unreasonably or unrealistically
11 high.

12
13 **Q. Beginning on Page 19, of his testimony, Mr. Schultz**
14 **addresses Plant Daniel. Mr. Schultz testifies that**
15 **Gulf does not have any control over the Plant Daniel**
16 **expenses. Mr. Lee, do you agree?**

17 **A. Absolutely not. Mr. Schultz has taken the discussion**
18 **of Plant Daniel contained in Mr. Gilbert's deposition,**
19 **taken in Docket 881167-EI, out of context. Mr. Gilbert**
20 **was explaining the difference in documentation produced**
21 **in the 1989 budget process for "Corporate Controlled"**
22 **items; that is, expenses controlled external to Gulf's**
23 **normal budget process. Mr. Schultz's misapplication of**
24 **this discussion to the reasonableness of the Plant**
25 **Daniel expenses results in a distorted and misleading**

Docket No. 891345-EI
Witness: Colen R. Lee
Page 4

1 picture of the interaction between Gulf and Mississippi
2 Power concerning the operation and maintenance of this
3 jointly owned facility.

4 As an active participant on the Supervisory
5 Committee that reviews all of the operating aspects of
6 Plant Daniel, I can unequivocally tell the Commission
7 that we review the budgets submitted to Gulf from
8 Mississippi Power for reasonableness. Throughout the
9 year, we review the budget comparison report regarding
10 Plant Daniel expenditures versus budget.

11 I assure this Commission that through my
12 participation in the oversight of Plant Daniel, Gulf
13 does have input and control over the expenses budgeted
14 by Mississippi Power for Plant Daniel. Our control is
15 not exclusive, nor should it be, since Mississippi's
16 ownership in the Plant is equal to ours. I would also
17 point out that Mississippi answers to both Gulf and to
18 their own commission with regard to the reasonableness
19 and appropriateness of the expenses related to Plant
20 Daniel. Mississippi Power has every incentive to
21 control these expenses. It is unreasonable to assume
22 or imply that the operation and maintenance activities
23 at Plant Daniel have been conducted on anything but
24 the most professional and prudent basis. Based on my
25 experience in this area of electric operations, and my

Docket No. 891345-EI
Witness: Colen R. Lee
Page 5

1 participation in the oversight process for Plant
2 Daniel, I can assure this Commission that this is the
3 case.

4 Mr. Schultz's proposed adjustment for these
5 expenses is nothing more than treating the benchmark as
6 an absolute limit on spending. He makes no attempt to
7 analyze the justifications provided for the benchmark
8 variance of \$646,000 which he seeks to exclude. Thus
9 Mr. Schultz ignores the Commission's characterization
10 of the benchmark as an analytical tool.

11 As shown in MFR C-57, on page 44 of 94, Plant
12 Daniel has three benchmark variances listed that total
13 \$877,000. These variances are \$231,000 more than the
14 overall Plant Daniel total benchmark variance of
15 \$646,000. Two of the three benchmark variances for
16 Plant Daniel are items which are necessary due to
17 regulatory requirements. The ash landfill is necessary
18 due to new environmental regulations that make adding
19 ash pond capacity virtually impossible. The sodium
20 fuel additive is utilized to meet environmental
21 regulations concerning particulate emissions.

22 The third item discussed in the Company's
23 justification for the Plant Daniel variance, turbine
24 and boiler, is over the benchmark because the amount of
25 work planned on Unit 1 at Plant Daniel is much more

1 extensive than the work budgeted in 1984. The 1984
2 amount formed the base for the benchmark calculation.
3 As stated in MFR C-57, the 1984 allowed figure included
4 only a turbine valve inspection for Daniel Unit 1. As
5 also stated in MFR C-57, the 1990 budget for Daniel
6 turbine and boiler work includes work on the Unit 1 low
7 pressure turbine, boiler feedpump turbine and
8 generator, all in addition to the turbine valve
9 inspection. From a review of the material, it is
10 apparent that the overall benchmark variance for Plant
11 Daniel is more than justified.

12
13 **Q. Mr. Schultz implies that Gulf does not have the right**
14 **to audit Plant Daniel expenses or billings. Is this**
15 **implication correct?**

16 **A.** Again, absolutely not. We certainly have the right to
17 conduct an audit, or to have one conducted. For
18 manpower efficiency purposes, we have relied on the
19 audits performed on our behalf by Southern Company
20 Services. The results of these audits and our own
21 direct involvement in the oversight process have not
22 given us any reason to question the appropriateness of
23 Plant Daniel expenses from any standpoint. Certainly,
24 with this background, it would be unwarranted on our
25 part to duplicate the audit performed by SCS.

1 Mr. Schultz does not challenge any of the expenses
2 at Plant Daniel. He criticizes the process as he
3 understands it; an understanding which is clearly
4 wrong. The expenses at Plant Daniel are reasonable,
5 justified, and should be allowed in this rate case.
6

7 **Q. At page 26 of his testimony, Mr. Schultz questions**
8 **whether the Company has taken the appropriate steps to**
9 **determine the propriety of the budget for Plant Scherer**
10 **steam production expenses. Has the Company taken the**
11 **"appropriate steps"?**

12 **A. Yes. Each year Gulf reviews the budget for Plant**
13 **Scherer, that was prepared by Georgia Power, for**
14 **reasonableness. Not only was the first year's budget**
15 **reasonable, but as shown in my attached Schedule 3**
16 **(CRL-2), the budgeted expenditures for Plant Scherer**
17 **have decreased each year since the unit started up in**
18 **1987.**

19
20 **Q. Beginning on Page 35 of his testimony, Mr. Schultz**
21 **proposes an adjustment related to the Southern Company**
22 **Services benchmark variance for Generating Plant**
23 **Electrical System Application. Mr. Schultz suggests**
24 **disallowance of the \$44,000 related to this work.**
25 **Mr. Lee, do you agree?**

1 A. No. As stated in MFR C-57 and the Company's response
2 to Public Counsel Interrogatory 231, attached as
3 Schedule 2 (CRL-2), this type of work is specialized
4 and Gulf cannot justify directly employing personnel
5 for this type of specialized work. Our engineering
6 staff is well educated, well trained, experienced and
7 dedicated to their profession. They are knowledgeable
8 in most areas of power plant work. This is a unique
9 area in which our otherwise qualified engineers are not
10 well trained and, therefore, specialists are needed.
11 Gulf, due to our size, cannot cost justify employing
12 personnel to perform this specialized work. Through
13 the economies of scale available to SCS by virtue of
14 its work throughout the Southern Electric System, the
15 expertise of these specialists is made available at a
16 much lower cost than would otherwise be possible, to
17 the ultimate benefit of our customers.

18
19 Q. Beginning on Page 52 of his testimony, Mr. Schultz
20 begins addressing ash hauling and storage at Plant
21 Smith. Mr. Schultz states that the ash hauling at
22 Plant Smith is excessive. Mr. Lee, do you agree?

23 A. No. We budgeted in 1990 for the amount of ash that we
24 expect to dig from the ash pond and haul to the ash
25 landfill. In the past we had a contract to dig, haul,

1 spread and compact ash at a cost of approximately \$2.48
2 per cubic yard of ash. We utilized this amount with an
3 inflation factor times the amount of ash to be hauled.
4 For 1990 budgeting purposes, Gulf estimated roughly
5 \$2.65 per cubic yard since the previous hauling
6 contract was ending and a new contract would be bid.
7 Therefore, in reviewing our past expenses and present
8 budget I strongly believe that these expenses are
9 justified, not excessive and should be allowed by the
10 Commission.

11
12 **Q. On page 59 of his testimony, Mr. Schultz lists an**
13 **amount of disallowance for fan and duct repair.**
14 **Mr. Lee, do you agree?**

15 **A.** No. The amount budgeted of \$1,109,000 is the amount
16 Gulf needs to properly maintain our equipment. The
17 full justification for the increased spending in this
18 area is set forth in MFR C-57, pages 54 through 56 of
19 94. I do not believe that the Commission should make
20 any disallowances to the expenses budgeted for fan and
21 duct repair. Mr. Schultz's practice of using a
22 historical average analysis ignores the fact that, as
23 our plants age, the need for this type of work
24 increases. This practice should be rejected by the
25 Commission. These expenses are reasonable, justified,

1 not excessive and should be allowed by the Commission.

2

3 Q. Beginning on page 78 of his testimony, Mr. Schultz
4 addresses condenser and cooling tower corrosion at
5 Plant Crist. Mr. Lee, should any disallowances be made
6 to this item?

7 A. No. Mr. Schultz in his testimony could not reconcile
8 the difference between the 1989 and 1990 budget for
9 this work. The method used to calculate the reduction
10 between 1989 and 1990 is shown in Schedule 1 of my
11 exhibit (CRL-2). Also shown in this schedule are the
12 actual expenditures for this work by year for the
13 period 1984 through 1989. As can be seen in this
14 schedule, since 1984, we have consistently made these
15 necessary expenditures. Our budget for 1990 is
16 justified, not excessive and should be allowed by the
17 Commission.

18

19 Q. Ms. Bass questions Gulf's doing business with Stock
20 Equipment Company while its President is a member of
21 Gulf's Board of Directors. Ms. Bass acknowledges that
22 such business should not be prohibited, but suggests
23 that any transactions be at arms length. Does Gulf
24 Power maintain an arms length position in its
25 transactions with Stock Equipment?

1 A. Yes. For various reasons, many items of major
2 equipment are best maintained with parts and service
3 supplied by the original equipment manufacturer (OEM).
4 Stock Equipment is the OEM for several pieces of major
5 equipment installed at Gulf's plants.
6

7 Q. Has Gulf purchased any new major equipment from Stock
8 Equipment since Mr. Tannehill became a member of Gulf's
9 board?

10 A. No.
11

12 Q. Can you give me the names of a few of the other OEM
13 from which Gulf Power purchases material and/or labor?

14 A. Gulf purchases material and/or labor from Westinghouse,
15 General Electric, Allis Chalmers, Allen Sherman Hoff,
16 Foster Wheeler, Combustion Engineering, and Babcock and
17 Wilcox.
18

19 Q. Do you obtain competitive bids on all purchases from
20 these vendors?

21 A. No. In many cases the parts or services are only
22 available from the OEM.
23

24 Q. Does this mean you do not obtain bids from these
25 vendors?

1 A. No. Competitive bids are obtained when other vendors
2 can supply the parts and/or services.

3

4 Q. How long has Gulf Power been purchasing material from
5 Stock Equipment?

6 A. Stock Equipment has been supplying material, equipment
7 and services to Gulf Power for more than 30 years.

8

9 Q. When Mr. J. H. Tannehill became a Director with Gulf
10 Power in 1985, did Gulf Power make any changes in any
11 way it transacts business with Stock Equipment?

12 A. No.

13

14 Q. Is there any difference in the way you transact
15 business with Stock Equipment as compared with other
16 OEM vendors such as Westinghouse?

17 A. No. We purchase material, equipment and service
18 available only from Westinghouse without competitive
19 bids. We also competitively bid material, equipment
20 and service that is available from other vendors.
21 Transactions with Stock Equipment are coordinated in
22 exactly the same manner.

23

24 Q. What about the three invoices reviewed by the FPSC
25 auditors in their review of Gulf's transactions with

1 **Stock Equipment?**

2 A. Two invoices were for material supplied only by Stock
3 Equipment for OEM equipment purchased before
4 Mr. Tannehill became a member of Gulf's Board. The
5 third invoice was for material and fabrication of a
6 coal hopper. Two local vendors were contacted by the
7 Smith Plant for bids on this item. The two bids were
8 for \$29,875.00 and \$45,070.20, respectively. In order
9 to save the difference of \$15,195.20, Gulf accepted
10 Stock Equipment's low bid.

11

12 **Q. Mr. Lee, how do Gulf's annual expenditures with Stock**
13 **Equipment compare before and after Mr. Tannehill became**
14 **a member of Gulf's board?**

15 A. Mr. Tannehill became a member of Gulf's Board of
16 Directors in 1985. Gulf's annual expenditures to Stock
17 Equipment for the three years before Mr. Tannehill
18 became a member of the Board of Directors were
19 \$267,000. Gulf's annual expenditures to Stock
20 Equipment for the four years since Mr. Tannehill became
21 a member of the Board of Directors have been \$226,000.

22

23 **Q. Mr. Lee, please summarize your testimony.**

24 A. My testimony continues to demonstrate that the Power
25 Generation Department efficiently and effectively

1 manages its O&M expenditures. I have defended the O&M
2 test year budget for areas within my responsibility. I
3 have also demonstrated that Gulf's management carefully
4 considers and evaluates all O&M expense related
5 decisions. The decisions ultimately made by the
6 Company are prudent, justified and necessary for
7 optimal efficiency and production in utility
8 operations.

9
10 Q. Mr. Lee, does this conclude your testimony?

11 A. Yes.

12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 COMMISSIONER GUNTER: Mr. Chairman, I move we
2 rise for the evening.

3 CHAIRMAN WILSON: We're going to adjourn and
4 make it at 8:30 to come back.

5 COMMISSIONER BEARD: How much do you have for
6 Jordan? We're on a roll.

7 MR. PALECKI: We have none for Jordan.

8 CHAIRMAN WILSON: Where is Public Counsel?
9 Steve?

10 CHAIRMAN WILSON: That's all right. If you
11 have questions, we'll do it in the morning. We're not
12 going to rush you. (Pause)

13 MR. BURGESS: None. None for Jordan.

14 CHAIRMAN WILSON: Have you got some for
15 Jordan (Pause)?

16 MR. PALECKI: No.

17 CHAIRMAN WILSON: You don't?

18 MR. HOLLAND: We have some corrections but we
19 could give an errata sheet to the reporter, they're not
20 substantive.

21 MR. BURGESS: Stipulate.

22 CHAIRMAN WILSON: Without objection, then,
23 the corrected rebuttal testimony of Mr. Jordan will be
24 inserted into the record as though read.

25 CHAIRMAN WILSON: I believe his exhibits have

1 been stipulated into the record.

2 (Exhibits Nos. 139 and 140 stipulated into
3 evidence.)

4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 GULF POWER COMPANY

2 Before the Florida Public Service Commission
3 Rebuttal Testimony of
4 Charles E. Jordan
5 In Support of Rate Relief
6 Docket No. 891345-EI
7 Date of Filing May 21, 1990

8 Q. Please state your name, address and occupation.

9 A. My name is Charles E. Jordan, and my business address
10 is 500 Bayfront Parkway, Pensacola, Florida 32501. I
11 am General Manager of Power Delivery of Gulf Power
12 Company.

13 Q. Are you the same Charles E. Jordan that has filed
14 direct testimony in this docket?

15 A. Yes.

16

17 Q. Mr. Jordan, what is the purpose of your rebuttal
18 testimony?

19 A. The purpose of my rebuttal testimony is to address the
20 testimony of Public Counsel's witnesses, Mr. Schuler
21 and Mr. Larkin, with regard to their recommendation of
22 certain disallowances of distribution Operation and
23 Maintenance (O & M) expense and recommended disallow-
24 ance of the investment in Greenhead substation (Lei-
25 sure Lakes).

Docket no. 891345-EI
Witness: C. E. Jordan
Page 2

1 Q. Have you prepared an exhibit that contains information
2 to which you will refer in your testimony?

3 A. Yes.

4 Counsel: We ask that Mr. Jordan's Exhibit,
5 comprised of 2 Schedules, be marked for
6 identification as Exhibits ¹³⁹⁻¹⁴⁰ (CEJ-2).
7

8 Q. Would you please address Mr. Schultz's contention
9 with regard to the expense associated with underground
10 line extensions?

11 A. Yes. On page 83, lines 5 through 16, Mr. Schultz
12 reveals his misunderstanding of the relationship
13 between underground and overhead O & M expense.
14 Schedule 1 of my Exhibit (CEJ-2), which summarizes the
15 overhead and underground expenses as filed in conjunc-
16 tion with Gulf's Underground Differential Tariff,
17 shows Gulf's historical experience with distribution
18 line O & M expense. As shown on this exhibit, Gulf's
19 six year average underground O & M expense is
20 ~~\$2,100.27~~ ^{\$2,122.63} per mile, which compares to the six year
21 average overhead O & M expense of ~~\$1,227.22~~ ^{\$1,197.84} per mile.
22 This compariso.. demonstrates that the maintenance
23 costs associated with underground lines are, in fact,
24 considerably higher than that associated with overhead
25 lines. Gulf's experience over the past six years has

Docket no. 891345-EI
Witness: C. E. Jordan
Page 3

1 not provided any basis to suggest that this relation-
2 ship between overhead and underground maintenance will
3 change in favor of underground in the foreseeable
4 future.

5 Mr. Schultz makes a mistaken assumption regarding
6 the reason Gulf is experiencing greater growth in the
7 amount of new underground facilities relative to new
8 overhead facilities. This greater growth is not
9 because of any cost savings benefit, but rather is
10 the result of our customers' demand for these
11 facilities. This customer demand is met by the
12 Company consistent with the Commission's policy of
13 allowing the customer or developer to select under-
14 ground facilities, so long as any differential cost of
15 installation is paid up front by the customer or
16 developer. Once the developer or customer chooses to
17 pay this differential, Gulf is not only obligated to
18 install the underground service but also to maintain
19 it through its service life.

20 Underground distribution system failures have
21 some significant characteristic differences when
22 compared to overhead distribution failures. An
23 underground distribution failure is more difficult to
24 locate than an overhead failure, involves removing
25 earth or other coverages in order to gain access to

Docket no. 891345-EI
Witness: C. E. Jordan
Page 4

1 the fault or failure, and introduces a source for
2 future failures from moisture leakage at the splice.
3 The increased labor expense associated with repairing
4 an underground distribution failure coupled with the
5 higher cost splice material associated with an under-
6 ground repair, once again, are some of the reasons why
7 underground maintenance is higher than overhead
8 maintenance.

9 As a result, the requested level of expenses
10 relative to this issue should be allowed.

11

12 Q. Would you please address Mr. Schultz's contention
13 regarding the benchmark variance for distribution
14 system work order (DSO) clearance?

15 A. Yes. First, Gulf would like to apologize for a
16 typographical error in the MFR which indicated that
17 the percentage of CWIP allocated to expense was 8.0
18 percent in 1984 and 12.9 percent in 1987. The actual
19 percentage of DSO clearance from CWIP to expense in
20 1984 was 7.02 percent and in 1987 it was 11.66 per-
21 cent. These figures and the actual amounts on which
22 they were based are shown on Schedule 2 of my Exhibit
23 (CEJ-2). These errors would not have affected
24 Mr. Schultz's analysis.

25 Although Mr. Schultz accepts the Company's

Docket no. 891045-EI
Witness: C. E. Jordan
Page 5

1 justification for the variance, he questions our math
2 and wrongfully concludes that our explanation leaves a
3 portion of the variance unjustified. Additionally,
4 Mr. Schultz has misinterpreted the statement of Gulf
5 to which he referred in his testimony on page 81,
6 lines 23 - 25. This misinterpretation has led
7 Mr. Schultz to omit customer growth and inflation from
8 1984 to 1987 when calculating his figure. When we
9 stated that the relative level of dollars to do the
10 work did not increase, we included allowance for
11 increases in cost due to the growth in customers and
12 an increase in expense due to inflation. Therefore,
13 Mr. Schultz is incorrect when he states that our
14 justification does not address the full amount of the
15 variance.

16 For the period 1985 through 1989, as can be
17 derived from the data on Schedule 2 of my Exhibit
18 (CEJ-2), 10.89 percent was charged to maintenance
19 versus the 7.02 percent which was charged in 1984.
20 This means the base should be increased by an addi-
21 tional 55.1 percent (10.89% over 7.02%) as a result of
22 the revision in the method of allocating expense from
23 CWIP that has occurred since 1984. The revised base
24 should then be escalated for customer growth and
25 inflation. The appropriate new base should be

Docket no. 891345-EI
Witness: C. E. Jordan
Page 6

1 \$1,846,000. This amount, when multiplied by the
2 customer growth and inflation factor of 1.5073, is
3 \$2,782,000. Gulf's 1990 Budget for expenses trans-
4 ferred from Construction Work in Progress to mainte-
5 nance of \$2,745,000 is, therefore, \$37,000 below the
6 appropriate benchmark. As can now be seen, our
7 explanation does address all of the variance identi-
8 fied for this area of expense.

9

10 Q. Mr. Jordan, would you please address Mr. Schultz's
11 discussion of the O & M variance of \$83,000 associated
12 with obsolete distribution material?

13 A. I would first like to point out that our \$109,000
14 obsolete material write-off figure for 1990 is approx-
15 imately ^{1.1%}~~0.99%~~ of our average inventory. This compares
16 closely with the write-off figures for Florida Power &
17 Light (1.2%) and Florida Power Cooperation (1.0%) and
18 is reasonable.

19 Gulf's variance over the benchmark in 1990 is
20 reasonable because the 1984 benchmark was non-repre-
21 sentative of what should have been occurring with
22 regard to obsolete material write-offs. Gulf has
23 instituted a program to better control our inventory
24 and save our customers from the burden of higher costs
25 on a long term basis.

Docket no. 891345-EI
Witness: C. E. Jordan
Page 7

1 As Mr. Schultz correctly points out, Gulf Power
2 Company did implement the Communication Oriented
3 Production Information System (COPICS) in 1984.
4 Throughout 1984 the COPICS system was enhanced, and
5 the new functions were tested and modified as needed
6 for implementation on a systemwide basis.

7 In early 1985 the COPICS system was installed in
8 all of the Division warehouses as Gulf's first on-line
9 material and inventory control system. At the conclu-
10 sion of 1986, Gulf Power Company had two full years of
11 experience with the system's material and inventory
12 usage patterns. These two years worth of information
13 identified some inventory items which had little or no
14 use and allowed the Division and Corporate engineers
15 to analyze these materials to determine whether they
16 were truly needed in inventory as one-of-a-kind
17 special items or whether these items were no longer
18 usable materials for Gulf Power Company. At the end
19 of 1987, a comprehensive analysis of these materials
20 was completed and a decision was made to attain the
21 best recovery possible from the sale of this material
22 and to write-off those items which could not be sold.

23 Gulf Power Company acknowledges that the system
24 in place prior to implementing the COPICS system
25 resulted in the Company carrying obsolete and unusable

Docket no. 891345-EI
Witness: C. E. Jordan
Page 8

1 materials in inventory longer and in greater
2 quantities than was reasonable. However, it is
3 important to note that Gulf itself recognized and took
4 steps to correct the situation in order to make sure
5 that both the inventory book amount and the physical
6 inventory in Gulf's warehouse is appropriate. This
7 entailed a program which would require Gulf to catch
8 up with its write-offs of obsolete and unusable
9 materials. This catch up with write-offs occurred in
10 1988.

11 Mr. Schultz's figure of \$16,485 as shown on page
12 58, line 7, excludes the 1988 write-off and misrepres-
13 sents the situation which has occurred. He offers no
14 evidence to support his implication that we are not
15 purchasing appropriate quantities of materials. It
16 should also be pointed out that, as a result of the
17 obsolete materials identification program, Gulf has
18 also gained the ability to immediately and more
19 appropriately assign the proper account when charging
20 off these materials. As a result, a shift occurred
21 from the former practice of writing-off obsolete
22 materials initially to the FERC 163 Clearing Account,
23 to the current practice of writing these materials off
24 directly to the proper O & M Accounts. The following
25 tabulation indicates that, when combined, these

Docket no. 891345-EI
 Witness: C. E. Jordan
 Page 9

1 accounts average \$165,555 per year in obsolete materi-
 2 al write-offs over the past six years.

3

4 GULF'S OBSOLETE MATERIALS WRITE-OFFS

5	<u>1984</u>	<u>1985</u>	<u>1986</u>	<u>1987</u>	<u>1988</u>	<u>1989</u>
6	<u>O & M ACCOUNTS</u>					
7	\$ 8,855	\$ 11,167	\$ 7,509	\$ 5,895	\$480,000	\$49,000
8	<u>CLEARING ACCOUNT</u>					
9	\$17,049	\$129,989	\$56,399	\$207,345	\$ 20,157	(\$33)
10	=====	=====	=====	=====	=====	=====
11	<u>TOTAL</u>					
12	\$25,904	\$141,156	\$63,908	\$213,240	\$500,157	\$48,967
13						
14	<u>SIX YEAR AVERAGE</u>	-----		\$ 165,555	-----	

15

16 In fact, if the entire 1988 write-off of \$500,157
 17 were excluded from the calculation, the remaining five
 18 year average would be \$98,635. This figure also
 19 confirms the reasonableness of Gulf's \$109,000 - 1990
 20 Budget amount.

21

22 Q. Mr. Jordan, do you have any comments as to witness
 23 Hugh Larkin, Jr. and his statements in his prefiled
 24 direct testimony starting on page 13 with regard to
 25 the facilities initially intended to serve Leisure

1 Lakes subdivision, which is properly known as
2 Greenhead substation?

3 A. Yes. I would like to further amplify that Leisure
4 Lakes is a subdivision and Greenhead is a substation.
5 Mr. Larkin apparently feels that since this particular
6 investment was disallowed in the 1984 rate case, it
7 should continue to be disallowed without regard to the
8 critical fact that the Greenhead substation facilities
9 are currently in use providing service to Gulf's
10 existing customers and, as such are used and useful.
11 In my prefiled direct testimony I have justified the
12 inclusion of the Greenhead substation equipment (what
13 he calls Leisure Lakes) and have clearly described how
14 it does and will serve Gulf's customers in their best
15 interest. Mr. Larkin does not contest my direct
16 testimony, just simply ignores it.

17 Gulf's study of the Vernon area has clearly
18 indicated that conversion to 25 kv distribution is in
19 the best interest of its customers. It just so
20 happens that the Greenhead transformer and its buswork
21 in the substation provides the most cost effective
22 utilization of equipment for the Vernon area
23 distribution. Although it will take two to three
24 years for the complete conversion of the Vernon area
25 distribution system to 25 kv, in the interim, as the

Docket no. 891345-EI
Witness: C. E. Jordan
Page 11

1 conversion takes place, the Greenhead substation will
2 be picking up greater portions of the Vernon
3 distribution customers, even as it sits at Greenhead.
4 In addition, the Greenhead substation transformer and
5 facilities at this time not only back-up the Sunny
6 Hills 25 kv subdivision, but also pick-up, on a daily
7 basis, some of the Vernon area distribution load
8 through the Moss Hill autobank transformer.

9 The alternatives to utilizing the Greenhead
10 transformer facilities in Vernon are far more expen-
11 sive but would, in future rate proceedings, be includ-
12 ed in rate base since this improvement is legitimately
13 justified for the service conditions in the Vernon
14 area distribution system. If the Commission should
15 accept Mr. Larkin's recommendation on this issue, Gulf
16 will certainly be back to the Commission with an
17 alternative solution requested for rate base inclusion
18 which will, in fact, cost Gulf's general body of
19 customers more than if Gulf were to utilize the
20 Greenhead substation equipment in the Vernon area as I
21 have discussed both here and in my direct testimony.

22 Gulf Power Company does not contest Mr. Larkin's
23 statement that in Docket No. 830484-EU, the Commission
24 did rule in favor of the rural electric cooperative
25 with regard to Leisure Lakes subdivision. What Gulf

1 would like to point out is that we have used and
2 continue to use the Greenhead substation (which Mr.
3 Larkin continues to refer to as Leisure Lakes) for the
4 useful function of back-up to the Sunny Hills subdivi-
5 sion and also to add reliability support to the Vernon
6 area distribution system. What Gulf would like to
7 point out is that we have subsequently found an
8 additional very valuable and useful function for those
9 facilities directly in the Vernon distribution area
10 where the equipment will continue to provide back-up
11 to Sunny Hills while further improving the service to
12 the Vernon area distribution customers.

13 The conversion to 25 kv in the Vernon area would
14 commence whether or not the Greenhead substation
15 facilities were available for utilization in the
16 conversion. The point is that if the Greenhead
17 substation facilities were not available, it would
18 increase the cost to our general body of customers to
19 provide the upgraded capacity and to back-up Sunny
20 Hills. Gulf's customers are fortunate that the
21 Greenhead facilities are available to make this
22 service improvement at a lower cost than would other-
23 wise be possible.

24

25 Q. Mr. Jordan, does this conclude your testimony?

A. Yes.

1 COMMISSIONER GUNTER: Are we going to have
2 the late-filed exhibits I requested of Mr. Conner, are
3 we going to have those in time for his testimony
4 tomorrow?

5 MR. HOLLAND: He's not doing that exhibit,
6 Mr. Scarbrough is. You've complicated it a great deal
7 but we will make every effort to try to get it here.

8 CHAIRMAN WILSON: Way to go, Commissioner.

9 COMMISSIONER EASLEY: If Conner doesn't have
10 the late-fileds, you still have questions?

11 COMMISSIONER GUNTER: Yeah.

12 CHAIRMAN WILSON: We will reconvene in the
13 morning at 8:30.

14 (Thereupon, hearing recessed at 7:30 p.m., to
15 reconvene Thursday, June 21, 1990, at 8:30 a.m., at the
16 same location.)

17

18

19

20

21

22

23

24

25