

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of : DOCKET NO. 991854-TP
:
PETITION OF BELLSOUTH :
TELECOMMUNICATIONS, INC. FOR A :
SECTION 252(B) ARBITRATION OF :
INTERCONNECTION AGREEMENT WITH :
INTERMEDIA COMMUNICATIONS, INC. :

*
* ELECTRONIC VERSIONS OF THIS TRANSCRIPT *
* ARE A CONVENIENCE COPY ONLY AND ARE NOT *
* THE OFFICIAL TRANSCRIPT OF THE HEARING *
* AND DO NOT INCLUDE PREFILED TESTIMONY. *
*

VOLUME 1
PAGES 1 THROUGH 156



PROCEEDINGS: HEARING

BEFORE: COMMISSIONER E. LEON JACOBS, JR.
COMMISSIONER LILA A. JABER

DATE: Monday, April 10, 2000

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Chief, Bureau of Reporting
Official FPSC Reporter

DOCUMENT NUMBER-DATE

04637 APR 17 98

1 APPEARANCES:

2 LANGLEY KITCHINGS and MICHAEL GOGGIN, BellSouth
3 Telecommunications, Inc., 675 West Peachtree Street,
4 Atlanta, Georgia 30375, representing BellSouth
5 Telecommunications, Inc.

6 JONATHAN E. CANIS and ENRICO C. SORIANO, Kelley
7 Drye & Warren, LLP, 1200 19th Street, S.W., Suite 500,
8 Washington, D.C. 20036 and CHARLIE PELLEGRINI, Wiggins &
9 Villacorta, P. A., Post Office Drawer 1657, 2145 Delta
10 Boulevard, appearing on behalf of Intermedia
11 Communications, Inc.

12 TIM VACCARO, Florida Public Service Commission,
13 Division of Legal Services, 2540 Shumard Oak Boulevard,
14 Tallahassee, Florida 32399-0850, appearing on behalf of
15 the Commission Staff.

I N D E X

WITNESSES

NAME:	PAGE NO.
-------	----------

ALPHONSO J. VARNER.	
---------------------	--

Direct Examination by Mr. Kitchings	9
Prefiled Direct Testimony Inserted	20
Cross-Examination by Mr. Canis	76
Cross-Examination by Mr. Vaccaro	144
Redirect Examination by Mr. Kitchings	151

EXHIBITS

NUMBER:	ID	ADMTD.
---------	----	--------

1	Staff's Stipulated 1	6	
2	Staff's Stipulated 2	6	
3	Staff's Stipulated 3	6	
4	Staff's Confidential 1	7	
5	AJV-1	19	154
6	AJV-2	19	154
7	AJV-3.	19	154
8	(Late-Filed) Pricing Rules for New Combination EELS	135	

CERTIFICATE OF REPORTER		156
-------------------------	--	-----

P R O C E E D I N G S

1
2 COMMISSIONER JACOBS: We will go on the record.
3 Call this hearing to order.

4 Counsel, read the notice, please.

5 MR. VACCARO: Pursuant to notice, this time and
6 place have been designated for a formal hearing in Docket
7 Number 991854-TP, Petition of BellSouth
8 Telecommunications, Inc. for Section 252(B) arbitration of
9 interconnection agreement with Intermedia Communications,
10 Inc.

11 COMMISSIONER JACOBS: We will take appearances.

12 MR. KITCHINGS: Mr. Commissioner, on behalf of
13 BellSouth Telecommunications, I am Langley Kitchings. My
14 address is 675 West Peachtree Street, Atlanta, Georgia,
15 30375. And with me today is Michael Goggin of our Florida
16 office.

17 COMMISSIONER JACOBS: And for Intermedia?

18 MR. CANIS: My name is Jon Canis of Kelley,
19 Drye, and Warren in Washington, D.C., appearing here on
20 behalf of Intermedia Communications. I am joined by my
21 colleague, Eric Soriano, also from Kelley, Drye, and
22 Warren in Washington, D.C.

23 MR. PELLEGRINI: Commissioner, Charles
24 Pellegrini, Wiggins and Villacorta on behalf of Intermedia
25 Communications.

1 COMMISSIONER JACOBS: Could I get your last name
2 again, please.

3 MR. CANIS: My names is Canis, C-A-N-I-S.

4 COMMISSIONER JACOBS: And Eric Soriano?

5 MR. SORIANO: Soriano, S-O-R-I-A-N-O.

6 COMMISSIONER JACOBS: I almost had it right.
7 Great.

8 MR. VACCARO: And Tim Vaccaro on behalf of
9 Commission staff.

10 COMMISSIONER JACOBS: All right. Are there any
11 preliminary matters that we can take up?

12 MR. VACCARO: We have a few preliminary matters.
13 There are a few confidentiality requests which I will go
14 through, along with some staff exhibits. And we also have
15 settlement of some additional issues. With regard to the
16 confidentiality matters, BellSouth filed a request for
17 confidential classification of Varner Rebuttal Exhibit
18 AJV-2. An order has been granted, and that material
19 should be treated as confidential.

20 We also have some pending matters. BellSouth filed a
21 notice of intent to request confidential classification
22 for a response to Intermedia's request for Production of
23 Documents Number 48. And we also have an Intermedia
24 claim of confidentiality for Jackson Rebuttal Exhibit
25 JCJ-3 and for its responses to Staff's First Request for

1 Production of Documents. We don't have rulings on those
2 last three matters, but those will be maintained as
3 confidential pending rulings after the hearing.

4 We also have some exhibits. We sent notice out to the
5 parties last week regarding these exhibits. And to the
6 best of my knowledge both parties are in agreement with
7 staff's desire to place these into the record. The first
8 exhibit is Staff's Stip 1, which is the official
9 recognition list, which I guess should be marked as
10 Exhibit 1 in this proceeding.

11 COMMISSIONER JACOBS: Show it marked as that.
12 (Exhibit Number 1 marked for identification.)

13 MR. VACCARO: And then Staff's Exhibit Stip 2 is
14 Intermedia's responses to Staff's First Request for
15 Production of Documents.

16 COMMISSIONER JACOBS: Show it marked as Exhibit
17 2.
18 (Exhibit Number 2 marked for identification.)

19 MR. VACCARO: Okay. Exhibit Stip 3 is
20 BellSouth's responses to Staff's First Set of
21 Interrogatories and Request for PODs.

22 COMMISSIONER JACOBS: Show it marked as Exhibit
23 3.
24 (Exhibit Number 3 marked for identification.)

25 MR. VACCARO: And then Staff's CONF-1 is

1 Intermedia's confidential responses to Staff's First
2 Request for Production of Documents, and those have been
3 filed under a claim of confidentiality by Intermedia.

4 COMMISSIONER JACOBS: What was the
5 identification for that again?

6 MR. VACCARO: That is CONF-1, C-O-N-F-1, which I
7 guess should be Exhibit 4.

8 COMMISSIONER JACOBS: Show it marked as Exhibit
9 4.

10 (Exhibit Number 4 marked for identification.)

11 MR. VACCARO: And, finally, the parties informed
12 me just prior to the start of today's hearing that two
13 additional issues have been settled, and those issues are
14 Issues, I believe, 7 and 38.

15 COMMISSIONER JACOBS: Now, are we clear on the
16 list of issues that are now settled?

17 MR. VACCARO: Yes.

18 COMMISSIONER JACOBS: We don't need to derive
19 that, then.

20 MR. VACCARO: No. And staff is unaware of any
21 other preliminary matters, unless there are any matters
22 that the parties wish to raise at this point.

23 MR. KITCHINGS: BellSouth has no preliminary
24 matters.

25 MR. CANIS: None for Intermedia, Your Honor.

1 COMMISSIONER JACOBS: Very well. Does that take
2 care of any preliminary matters?

3 MR. VACCARO: Yes, sir.

4 COMMISSIONER JABER: Let me ask a question for
5 my own clarification. In the prehearing order, all of the
6 issues that are left with the exception of 7 and 38 are
7 not settled?

8 MR. VACCARO: That is correct, Commissioner.

9 COMMISSIONER JABER: Thank you.

10 COMMISSIONER JACOBS: Off the record for a
11 moment.

12 (Off the record briefly.)

13 COMMISSIONER JACOBS: Back on the record. That
14 being the case, we are prepared to swear the witnesses.
15 All the witnesses that will testify today, will you stand
16 and raise your right hand.

17 (Witnesses sworn collectively.)

18 COMMISSIONER JACOBS: That is my first time so
19 -- great. We were prepared to take the first witness?

20 MR. KITCHINGS: Yes.

21 COMMISSIONER JACOBS: I show that BellSouth is
22 going first.

23 MR. KITCHINGS: Yes. Witness Varner.

24 COMMISSIONER JACOBS: Mr. Varner.

25 MR. KITCHINGS: May I proceed?

1 COMMISSIONER JACOBS: Mr. Kitchings.

2 MR. KITCHINGS: Thank you, Mr. Commissioner.

3 - - - - -

4 ALPHONSO J. VARNER

5 was called as a witness on behalf of
6 BellSouth Telecommunications, Inc. and, having been
7 duly sworn, testified as follows:

8 DIRECT EXAMINATION

9 BY MR. KITCHINGS:

10 Q Would you please state your name and business
11 address?

12 A My name is Alphonso Varner. My business address
13 is 675 West Peachtree Street, Atlanta, Georgia.

14 Q By whom are you employed, Mr. Varner?

15 A BellSouth Telecommunications.

16 Q Are you the same Al Varner who caused to be
17 filed some 56 pages of direct testimony?

18 A Yes.

19 Q And three exhibits.

20 A Yes.

21 Q Do you any additions, deletions, or corrections
22 to your testimony?

23 A Yes, I do.

24 Q Would you please give those at this time?

25 A All right. On the direct testimony, at Page 2,

1 Line 25, the word transport should be inserted after the
2 word dedicated. And in the rebuttal testimony --

3 Q We will confine just to direct at this time, Mr.
4 Varner.

5 A Oh, I'm sorry.

6 Q That's all right. Any other corrections to the
7 direct testimony?

8 A No, there aren't.

9 Q Okay. Subject to that one correction, Mr.
10 Varner, if I were to ask the same questions as contained
11 in the prefiled direct testimony, would your answers be
12 the same?

13 A Yes, they would.

14 Q Do you have a summary of your testimony?

15 A Yes.

16 Q Would you please give that at this time?

17 A All right. Good morning. While BellSouth and
18 Intermedia made significant progress on resolving issues,
19 at my count anyway, there are 21 that remain. And my
20 testimony addresses 17 of them. And these issues can be
21 grouped into six general categories. Definitions,
22 interconnection, the rates for unbundled network elements,
23 enhanced extended links, reciprocal compensation, and
24 packet switching. And I will briefly discuss each of
25 these.

1 First, with regard to definitions, BellSouth
2 simply wants to clearly state that ISP-bound traffic is
3 not to be considered as local traffic as a definitional
4 matter. In numerous orders, the FCC has already made this
5 clear. Now, the parties also differ on the appropriate
6 compensation mechanism that should apply to ISP traffic,
7 and I will talk about that later. However, regardless of
8 the compensation mechanism, this traffic is simply not
9 local traffic and should be excluded from that definition.

10 Next, the parties disagree on the appropriate
11 definition for intraLATA toll. BellSouth's position is
12 that such traffic should be defined as any telephone call
13 that is not local or switched access as those terms are
14 defined in the interconnection agreement.

15 Now, Intermedia's position is that intraLATA
16 toll traffic should be defined so as to include non-local
17 packet data messages as well as voice traffic. This is
18 inappropriate to expand the reciprocal compensation
19 obligation to intraLATA toll traffic.

20 The final definitional issue is switched access.
21 And we propose that switched access is appropriately
22 defined by the existing tariffs, and there is no need to
23 include a specific definition in a local interconnection
24 agreement. However, BellSouth believes that it is
25 important to specify that long distance telecommunications

1 using Internet protocol, or IP Telephony, is switched
2 access service.

3 Our intent is to avoid a repeat of what has
4 occurred because the definition of local traffic in
5 earlier agreements did not explicitly address how ISP
6 traffic would be handled. But let me be clear, though, IP
7 Telephony and ISP-bound traffic represent two entirely
8 different types of traffic. IP Telephony is clearly a
9 technology used to transmit long distance
10 telecommunications. It is not ISP.

11 Indeed, the FCC views ISP-bound traffic
12 differently from Internet protocol telephony. Neither
13 ISP-bound traffic nor IP Telephony is local traffic.
14 However, the FCC has treated the two types differently.
15 They have exempted ISP from payment of access charges and
16 no such exemption applies to IP Telephony.

17 The next area is interconnection, and the issue
18 here deals with a disagreement with respect to
19 interconnection of the parties' frame relay networks. For
20 interconnection purposes only, BellSouth agrees to treat
21 frame relay traffic as local if it originates and
22 terminates in the same LATA. However, BellSouth does not
23 agree that such traffic is local for any other purpose,
24 including compensation.

25 The other issue regarding interconnection of the

1 parties' frame relay networks is that -- well, I think
2 that one was resolved. The percent local circuit use.

3 MR. CANIS: That is right.

4 THE WITNESS: Next, I would like to address
5 NPA-NXX assignment. BellSouth is indifferent to the
6 manner in which Intermedia defines its local calling area
7 for its own end users. However, if the same NPA-NXX
8 applies inside and outside the BellSouth local calling
9 areas, it is impossible for BellSouth to determine whether
10 its end users are making local or long distance calls.
11 Consequently, we can't tell whether access charges or
12 reciprocal compensation would apply.
13 In addition, BellSouth is concerned that calls be
14 successfully routed, completed, and billed. And this
15 cannot be accomplished without Intermedia informing
16 BellSouth and other service providers of how and where to
17 deliver and receive traffic to and from their customers.
18 The next area I wanted to discuss is rates. BellSouth
19 has proposed rates for several new UNEs required by the
20 FCC's UNE remand order. Because this Commission is
21 conducting a generic UNE proceeding this year, BellSouth
22 is proposing interim rates subject to true-up based on
23 the outcome of that proceeding.
24 Enhanced extended links is the next category, and there
25 are two issues before this Commission. One, whether

1 BellSouth should be required to provide access to EELs at
2 UNE rates, and whether Intermedia should be allowed to
3 convert existing special access services to EELs at UNE
4 rates. BellSouth agrees that it is required to provide
5 access to enhanced extended links at cost-based rates
6 where the combination currently exists in our network.
7 The issue of conversion of special access service to EELs
8 at UNE rates is a subject of a proposed rulemaking at the
9 FCC. Until that rulemaking is complete, ALECs may not
10 convert special access to combinations of UNEs unless the
11 ALEC uses the UNE combination to provide a significant
12 amount of local service in addition to exchange access
13 service to a particular customer.
14 Reciprocal compensation. The parties differ on
15 appropriate intercarrier compensation mechanism to apply
16 to apply to ISP-bound traffic. BellSouth disagrees that
17 reciprocal compensation is an appropriate intercarrier
18 compensation mechanism for such costs. Reciprocal
19 compensation applies only where local traffic is
20 terminated on either parties' network. In its August
21 1996 order, the FCC made it clear that reciprocal
22 compensation rules do not apply to interstate or
23 interLATA traffic such as ISP-bound traffic. Since
24 ISP-bound calls are interstate calls, no local -- not
25 local traffic, it is not subject to the reciprocal

1 compensation obligations under the Act.

2 The interstate access connection that permits an ISP to
3 communicate with its subscribers falls within the scope
4 of exchange access and, accordingly, constitutes an
5 access service as defined by the FCC. The local exchange
6 rates paid by end user customers were never intended to
7 cover costs associated with providing access service.
8 Basic local exchange service customers buy access to --
9 customers who are basic local exchange customers of the
10 LEC buy their access to the Internet directly from the
11 ISP.

12 BellSouth's end user customers for local service are
13 customers of the ISP for access to the Internet. This is
14 the very same arrangement that you might have when an end
15 user places a long distance call. They are a customer of
16 the local company for their local service, but they are a
17 customer of the IXC for their long distance service.

18 COMMISSIONER JACOBS: Did I understand that
19 there are instances where ISPs pay local access? I saw
20 that and I was confused by that.

21 THE WITNESS: I just missed the first part of --

22 COMMISSIONER JACOBS: Are there instances where
23 an ISP pays some kind of local access charge?

24 THE WITNESS: Well, they don't pay switched
25 access charges. But what they get is access service. And

1 what they pay for that access service by mandate of the
2 FCC is the local exchange rate, whatever an end user would
3 pay.

4 COMMISSIONER JACOBS: Oh.

5 THE WITNESS: They pay that same price, but they
6 pay that price for access service whereas an end user pays
7 that price for local service.

8 COMMISSIONER JACOBS: I see.

9 THE WITNESS: The access service they could get,
10 though, permits their customers, the ISP's customers, to
11 connect to the Internet through the ISP. In addition to
12 the compensation Intermedia receives directly from the ISP
13 customer, that is the business exchange rate as required
14 by the FCC, Intermedia wants additional compensation from
15 BellSouth, even though BellSouth doesn't collect revenues
16 for this service. We request that this Commission find
17 that traffic to ISPs, which is jurisdictionally interstate
18 traffic and is access traffic, is not subject to
19 reciprocal compensation.

20 Another reciprocal compensation issue deals with the
21 applicability of the tandem switching rate. Carriers
22 should only be compensated for tandem switching if they
23 perform that function for local traffic and actually
24 serve an area comparable to the area served by a
25 BellSouth tandem switch. Intermedia has not demonstrated

1 that it meets either of these requirements.

2 Specifically, a tandem switch connects one trunk to
3 another trunk and is an intermediate switch used in the
4 routing of a call. The tandem switch connects the switch
5 where the call originates to the switch where the call
6 terminates. The customer's local loop terminates in an
7 end office switch and enables calls to be originated or
8 terminated to that customer.

9 Intermedia's switch is an end office switch that is
10 handling calls originating from or terminating to
11 customers served by that local switch. It may function
12 as a tandem switch for long distance calls, but that is
13 irrelevant to whether they should receive reciprocal
14 compensation at the tandem rate for local calls.

15 Intermedia is seeking to be compensated for the cost of
16 equipment it does not own and for functionality it does
17 not provide. Intermedia claims that its switches are
18 capable of serving areas comparable to BellSouth's
19 tandems. However, that finding is insufficient. Any
20 modern switch is capable of doing this. The issue is
21 does it actually serve customers in an area that is
22 comparable. And I submit that Intermedia's switches do
23 not.

24 The next area is packet switching. In regards to whether
25 BellSouth is required to provide access to unbundled

1 packet switching capacities, we contend that neither the
2 act nor the FCC's rules requires it to do so. In its UNE
3 remand order, the FCC expressly declined to, "Unbundle
4 specific packet switching technologies incumbent LECs may
5 have deployed in their networks." While the FCC adopted
6 one limited exception this rule, the FCC specifically
7 ically rejected, "E.spire/Intermedia's request for a
8 packet switching or frame relay unbundled element."

9 Indeed, the FCC concluded that E.spire and Intermedia
10 have not provided any specific information to support a
11 finding that requesting carriers are impaired without
12 access to unbundled frame relay. The same is true in
13 this case. Even assuming that a state commission is
14 authorized to alter conditions established by the FCC for
15 the unbundling of packet switching. Intermedia has not
16 provided any evidence in this case that would demonstrate
17 that it is impaired.

18 In conclusion, I request that the Commission adopt
19 BellSouth's positions proposed in my direct testimony to
20 resolve the issues that remain in this case.

21 That concludes my summary.

22 MR. KITCHINGS: Commissioner Jacobs, we would
23 move the admission of Mr. Varner's testimony into the
24 record and ask that the exhibits attached thereto be
25 marked for identification.

1 COMMISSIONER JACOBS: Show Mr. Varner's
2 testimony moved into the record as though read. And you
3 are moving the exhibits, as well?

4 MR. KITCHINGS: Moving that they be marked for
5 identification. We will move them at the conclusion of
6 cross.

7 COMMISSIONER JACOBS: Just one comprehensive
8 exhibit?

9 MR. KITCHINGS: I believe there is three
10 separate exhibits attached to his testimony.

11 COMMISSIONER JACOBS: Show those as 5, 6, and 7.
12 (Exhibit Number 5, 6, and 7 marked for identification.)
13
14
15
16
17
18
19
20
21
22
23
24
25

1 BELLSOUTH TELECOMMUNICATIONS, INC.
2 DIRECT TESTIMONY OF ALPHONSO J. VARNER
3 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
4 DOCKET NO. 991854-TP
5 February 14, 2000
6

7 Q. PLEASE STATE YOUR NAME, YOUR POSITION WITH BELLSOUTH
8 TELECOMMUNICATIONS, INC. ("BELLSOUTH") AND YOUR
9 BUSINESS ADDRESS.
10

11 A. My name is Alphonso J. Varner. I am employed by BellSouth as Senior
12 Director for State Regulatory for the nine-state BellSouth region. My business
13 address is 675 West Peachtree Street, Atlanta, Georgia 30375.
14

15 Q. PLEASE PROVIDE A BRIEF DESCRIPTION OF YOUR BACKGROUND
16 AND EXPERIENCE.
17

18 A. I graduated from Florida State University in 1972 with a Bachelor of
19 Engineering Science degree in systems design engineering. I immediately
20 joined Southern Bell in the division of revenues organization with the
21 responsibility for preparation of all Florida investment separations studies for
22 division of revenues and for reviewing interstate settlements.
23

24 Subsequently, I accepted an assignment in the rates and tariffs organization
25 with responsibilities for administering selected rates and tariffs including

1 preparation of tariff filings. In January 1994, I was appointed Senior Director
 2 of Pricing for the nine-state region. I was named Senior Director for
 3 Regulatory Policy and Planning in August 1994, and I accepted my current
 4 position as Senior Director of Regulatory in April 1997.

5

6 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?

7

8 A. The purpose of my testimony is to present BellSouth's position on many of the
 9 unresolved issues in the negotiations between BellSouth and Intermedia
 10 Communications, Inc. ("Intermedia"). On February 10, 2000, the Florida
 11 Public Service Commission ("Commission") issued its Order Establishing
 12 Procedure in this docket. In that Order, the Commission listed the issues that
 13 are to be addressed in this arbitration. My testimony addresses Issues 2, 3, 4,
 14 7, 12, 13, 15, 17, 18, 22, 25, 26, 31, 32, 35, 36, 37, 38, 39, 45 and 46. Mr.
 15 Keith Milner's testimony addresses Issues 10, 17, 27, 29 and 30.

16

17 Q. IN THIS PROCEEDING, DOES BELL SOUTH PROPOSE RATES FOR
 18 ANY UNBUNDLED NETWORK ELEMENTS ("UNEs")?

19

20 A. Yes. In this proceeding, BellSouth proposes interim rates for the following
 21 UNEs:

- 22 • Sub-loop Feeder per 2-Wire Analog Voice Grade Loop
- 23 • Loop Channelization and CO Interface (Inside CO)
- 24 • High Capacity Unbundled Local Loop – DS3, OCn, STS-1
- 25 • Local Channel Dedicated ^{Transport} – DS3, OCn, STS-1

- Interoffice Dedicated Transport – DS3, OCn, STS-1
- Dark Fiber

BellSouth also proposes interim rates for Unbundled Loop Modification, which provides for conditioning (i.e., equipment and bridged tap removal) of unbundled copper loops. BellSouth has not yet conducted a cost study for these elements in Florida. However, BellSouth recently submitted a TELRIC study and proposed rates for these elements in the Intermedia arbitration in North Carolina. BellSouth proposes that the North Carolina cost study be used to establish interim rates in Florida. These rates, shown on Exhibit AJV-1, would be subject to true-up when Florida-specific rates, to be proposed in April, are adopted by the Commission.

Q. WHY DOES BELL SOUTH PROPOSE INTERIM PRICES SUBJECT TO TRUE-UP FOR THESE ELEMENTS?

A. The Commission has set a procedural schedule in Docket No. 990649-TP that requires UNE cost studies be filed on April 17, 2000. As part of that filing, BellSouth will sponsor a cost study for the elements listed above. BellSouth believes it is appropriate to set interim prices subject to true-up pending the Commission's determination of the appropriate permanent prices in Docket No. 990649-TP.

1 *Issue 2: Should the definition of “Local Traffic” for purposes of the Parties’*
 2 *reciprocal compensation obligations under Section 251(b)(5) of the 1996 Act*
 3 *include the following:*

4 (a) *ISP traffic,*

5 (b) *False traffic deliberately generated for the sole purpose of obtaining*
 6 *increased reciprocal compensation (e.g., Router-Router traffic)?*

7

8 Q. WHAT IS BELL SOUTH’S PROPOSED DEFINITION OF LOCAL
 9 TRAFFIC?

10

11 A. BellSouth proposes the following definition of local traffic for inclusion in the
 12 Interconnection Agreement with Intermedia:

13 Local Traffic is defined as any telephone call that originates in
 14 one exchange and terminates in either the same exchange, or
 15 other **exchange within the same**¹ local calling area associated
 16 with the originating exchange as defined and specified in
 17 Section A3 of BellSouth's General Subscriber Service Tariff.

18 As clarification of this definition and for reciprocal
 19 compensation, Local Traffic does not include traffic that
 20 originates from or is directed to or through an enhanced service
 21 provider or information service provider. As further
 22 clarification, Local Traffic does not include calls that do not
 23 transmit information of the user’s choosing. In any event,
 24 neither Party will pay reciprocal compensation to the other if

25

¹ Reflects clarification of the local traffic definition as proposed by BellSouth. The proposed interconnection agreement between the parties should also be amended to reflect this clarification.

1 the “traffic” to which such reciprocal compensation would
2 otherwise apply was generated, in whole or in part, for the
3 purpose of creating an obligation on the part of the originating
4 carrier to pay reciprocal compensation for such traffic.

5
6 This basic definition appears in several places in the proposed agreement,
7 including the General Terms and Conditions – Part B and Section 6.1.1 of
8 Attachment 3.

9
10 Q. HOW DO THE ACT AND THE FCC’S FIRST REPORT AND ORDER IN
11 CC DOCKET 96-98 ADDRESS RECIPROCAL COMPENSATION?

12
13 A. Reciprocal compensation applies only when local traffic is terminated on either
14 party’s network. One of the Act’s basic interconnection rules is contained in
15 47 U.S.C. § 251(b)(5). That provision requires all local exchange carriers “to
16 establish reciprocal compensation arrangements for the transport and
17 termination of telecommunications.” Section 251(b)(5)’s reciprocal
18 compensation duty arises, however, only in the case of local calls. In fact, in
19 its August 1996 Local Interconnection Order (CC Docket No. 96-98),
20 paragraph 1034, the FCC made it perfectly clear that reciprocal compensation
21 rules do not apply to interstate or interLATA traffic such as interexchange
22 traffic:

23 *We conclude that Section 251(b)(5), reciprocal compensation*
24 *obligation, should apply only to traffic that originates and terminates*
25 *within a local area assigned in the following paragraph. We find that*

1 *reciprocal compensation provisions of Section 251(b)(5) for transport*
2 *and termination of traffic do not apply to the transport and termination*
3 *of interstate or intrastate interexchange traffic.*

4
5 This interpretation is consistent with the Act, which establishes a reciprocal
6 compensation mechanism to encourage local competition.

7
8 Further, in Paragraph 1037 of that same Order, the FCC stated:

9 *We conclude that section 251(b)(5) obligations apply to all LECs in the*
10 *same state-defined local exchange areas, including neighboring*
11 *incumbent LECs that fit within this description.*

12
13 The FCC's interpretation of reciprocal compensation applying only to local
14 traffic is consistent with the Act, which established a reciprocal compensation
15 mechanism to encourage local competition.

16
17 Q. WHAT IS BELLSOUTH'S POSITION ON THE APPLICABILITY OF
18 RECIPROCAL COMPENSATION TO ISP-BOUND TRAFFIC?

19
20 A. Because ISP-bound traffic is interstate traffic, not local traffic, it is not subject
21 to the reciprocal compensation obligations contained in Section 251 of the Act.
22 Payment of reciprocal compensation for ISP-bound traffic is inconsistent with
23 the law and is not sound public policy.

1 Q. IS BELLSOUTH'S POSITION REGARDING JURISDICTION OF ISP-
2 BOUND TRAFFIC CONSISTENT WITH THE FCC'S FINDINGS AND
3 ORDERS?
4

5 A. Absolutely. BellSouth's position is supported by, and is consistent with, the
6 FCC's findings and Orders which state that, for jurisdictional purposes, traffic
7 must be judged by its end-to end nature, and must not be judged by looking at
8 individual components of a call. Therefore, for purposes of determining
9 jurisdiction for ISP-bound traffic, the originating location and the final
10 termination must be looked at from an end-to-end basis. BellSouth's position
11 is consistent with long-standing FCC precedent.
12

13 In its Declaratory Ruling in Docket Nos. 96-98 and 99-68, dated February 25,
14 1999, the FCC noted that it would refer to providers of enhanced services and
15 providers of information services as ESPs, a category which includes Internet
16 Service Providers, which the FCC refers to in its order as ISPs (fn 1). The
17 FCC once again confirmed that ISP-bound traffic is access service subject to
18 interstate jurisdiction and is not local traffic when it concluded that "ISP-bound
19 traffic is non-local interstate traffic." (fn 87) The FCC noted in its decision
20 that it traditionally has determined the jurisdiction of calls by the end-to-end
21 nature of the call. In paragraph 12 of this same order, the FCC concluded "that
22 the communications at issue here do not terminate at the ISP's local server, as
23 CLECs and ISPs contend, but continue to the ultimate destination or
24 destinations, specifically at an Internet website that is often located in another
25 state." Further, in paragraph 12 of its Declaratory Ruling, the FCC finds that

1 “[a]s the Commission stated in *BellSouth MemoryCall*, the Commission has
2 jurisdiction over, and regulates charges for, the local network when it is used in
3 conjunction with the origination and termination of interstate calls.”

4
5 The FCC’s decision makes plain that no part of an ISP-bound communication
6 terminates at the facilities of an ISP. Once it is understood that ISP-bound
7 traffic “terminates” only at distant websites, which are almost never in the
8 same exchange as the end-user, it is evident that these calls are not local.

9
10 Q. DOESN’T AN ISP PAY BASIC LOCAL EXCHANGE RATES FOR THE
11 ACCESS SERVICE IT RECEIVES?

12
13 A. Yes. However, the fact that the FCC has exempted enhanced service
14 providers, including ISPs, from paying interstate switched access charges does
15 not alter the fact that the connection an ISP obtains is an access connection.
16 The FCC confirmed this fact in its Declaratory Ruling, at paragraph 16: “The
17 fact that ESPs are exempt from access charges and purchase their PSTN links
18 through local tariffs, does not transform the nature of traffic routed to ESPs.”
19 Instead, the exemption limits the compensation that an ILEC in providing such
20 a connection can obtain from an ISP. Further, under the access charge
21 exemption, the compensation derived by an ILEC providing the service to an
22 ISP has been limited to the rates and charges associated with business
23 exchange services. Nevertheless, the ISP’s service involves interstate
24 communications. The ISP obtains access service that enables a
25 communications path to be established by its subscriber. The ISP, in turn,

1 recovers the cost of the telecommunications services it uses to deliver its
2 service through charges it assesses on the subscribers of the ISP's service.

3

4 The interstate access connection that permits an ISP to communicate with its
5 subscribers falls within the scope of exchange access and, accordingly,
6 constitutes an access service as defined by the FCC:

7

8 *Access Service* includes services and facilities provided for the origination or
9 termination of any interstate or foreign telecommunications. (47 CFR Ch. 1
10 §69.2(b)) (emphasis added)

11

12 Q. HAS THIS COMMISSION PREVIOUSLY RULED ON THE INCLUSION
13 OF ISP-BOUND TRAFFIC IN THE DEFINITION OF LOCAL TRAFFIC
14 SUBJECT TO RECIPROCAL COMPENSATION?

15

16 A. Yes. In its Order No. PSC-00-0128-FOF-TP dated January 14, 2000, in the
17 ICG/BellSouth Arbitration Case, Docket No.990691-TP, the Commission
18 found that "the parties should continue to operate under the terms of their
19 current contract until the FCC issues its final ruling on whether ISP-bound
20 traffic should be defined as local and whether reciprocal compensation is due
21 for this traffic." (p. 5). The Commission noted that it reached this same
22 decision in its Order No. PSC-99-2009-FOF-TP dated October 14, 1999 in the
23 MediaOne/BellSouth Arbitration Case, Docket No. 990149-TP.

24

25

1 BellSouth recognizes that the Commission has established a docket (Docket
2 No. 000075-TP) to consider the appropriate methods to compensate carriers for
3 exchange of traffic subject to Section 251 of the Act. Depending on the scope
4 of that docket, this issue may be better addressed there. However, BellSouth
5 reiterates its position that Section 251 of the Act does not require development
6 of a compensation mechanism for this traffic.

7
8 Q. WHY IS IT NECESSARY TO INCLUDE IN THE DEFINITION OF LOCAL
9 TRAFFIC AN EXCEPTION FOR "FALSE TRAFFIC" DELIBERATELY
10 GENERATED FOR THE SOLE PURPOSE OF OBTAINING INCREASED
11 RECIPROCAL COMPENSATION?

12
13 A. Although this type of traffic has not yet been addressed in a case before this
14 Commission, it has been addressed in a complaint proceeding by another state
15 commission in BellSouth's region. Generally speaking, the "traffic" at issue in
16 that proceeding is false traffic created for the sole purpose of generating
17 reciprocal compensation for which BellSouth was billed. Router-to-router
18 connections were established on a 24-hour/7-days-per-week basis on
19 BellSouth's network by a company who had entered into a reciprocal
20 compensation sharing arrangement with a particular ALEC. That ALEC
21 agreed to share with the originating party the reciprocal compensation it
22 received from BellSouth for this "false traffic." Irrespective of any actual use
23 of the network connections established by its routers, the originating party kept
24 these connections open between the BellSouth network and the ALEC's
25 network on essentially a 24 hour-a-day basis so as to generate reciprocal

1 compensation payments from BellSouth to the ALEC for that entire period. In
2 effect, the originating party and the ALEC established a private network, and
3 reciprocal compensation obligations under the Act do not extend to such
4 private networks.

5
6 That complaint was heard in August 1999, has been extensively briefed by the
7 parties, and a decision is pending. By proposing to specifically exclude such
8 traffic from the Parties' definition of local traffic, BellSouth has attempted to
9 describe, albeit in a shorthand fashion, the type of traffic the third party
10 originated--either for itself or on behalf of its other customers--on BellSouth's
11 network and for which the ALEC attempted to collect reciprocal compensation
12 from BellSouth. BellSouth's position, of course, is that such "traffic" is not
13 local traffic subject to payment of reciprocal compensation. In fact, it isn't
14 traffic at all. It is important to specify at this time that such traffic is not local
15 traffic subject to payment of reciprocal compensation should it become an
16 issue in Florida at some point in the future.

17
18 Q. WHAT DOES BELLSOUTH REQUEST OF THIS COMMISSION?

19
20 A. BellSouth respectfully requests that this Commission find BellSouth's
21 proposed definition of Local Traffic to be consistent with the parties'
22 reciprocal compensation obligations under Section 251(b)(5) of the Act. In
23 order to avoid potential future disputes between the parties concerning the
24 applicability of reciprocal compensation to ISP-bound traffic, BellSouth
25 requests the Commission find that the definition of Local Traffic should

1 expressly exclude traffic to Internet Service Providers. Further, BellSouth asks
 2 the Commission to find it appropriate to include in the definition of Local
 3 Traffic an exception for “false traffic” deliberately generated for the sole
 4 purpose of obtaining increased reciprocal compensation.

5

6 *Issue 3: Should Intermedia be compensated for end office, tandem, and transport*
 7 *elements, for purposes of reciprocal compensation?*

8

9 Q. WHAT IS BELL SOUTH’S POSITION ON THIS ISSUE?

10

11 A. BellSouth agrees that Intermedia should be compensated for the functions that
 12 its switches provide. In its Order No. PSC-96-1579-FOF-TP, dated December
 13 31, 1996, the Commission established reciprocal compensation rates for end
 14 office switching and tandem switching. In that same order, the Commission
 15 determined rates for common transport.

16

17 Intermedia proposes that a composite rate be calculated and applied in every
 18 instance, regardless of which actual elements are used to terminate and
 19 transport the local traffic. However, BellSouth’s position is that elemental
 20 rates are the appropriate rates to use because they more closely represent the
 21 costs incurred to transport and terminate such local traffic.

22

23 BellSouth contends that carriers should be compensated only for those
 24 functions they actually perform. If a call is not handled by a switch on a
 25 tandem basis, it is not appropriate to pay reciprocal compensation for the

1 tandem switching function. A tandem switch connects one trunk to another
 2 trunk and is an intermediate switch or connection between an originating
 3 telephone call location and the final destination of the call. An end office
 4 switch is connected to a telephone subscriber and allows the call to be
 5 originated or terminated. If Intermedia's switch is an end-office switch, then it
 6 is handling calls that originate from or terminate to customers served by that
 7 local switch, and thus Intermedia's switch is not providing a tandem function.
 8 Intermedia is seeking to be compensated for the cost of equipment it does not
 9 own and for functionality it does not provide.

10

11 Q. HOW DO THE FCC'S RULES DEFINE LOCAL TANDEM SWITCHING?

12

13 A. In its recently released Order No. FCC 99-238, the FCC's rules at 51.319(c)(3)
 14 state:

15 *Local Tandem Switching Capability.* The tandem switching capability
 16 network element is defined as:

- 17 (i) Trunk-connect facilities, which include, but are not limited to,
 18 the connection between trunk termination at a cross connect
 19 panel and switch trunk card;
- 20 (ii) The basic switch trunk function of connecting trunks to trunks;
 21 and
- 22 (iii) The functions that are centralized in tandem switches (as
 23 distinguished from separate end office switches), including but
 24 not limited, to call recording, the routing of calls to operator
 25 services, and signaling conversion features.

1 Q. DOES INTERMEDIA'S SWITCH SERVE A GEOGRAPHIC AREA
2 COMPARABLE TO BELLSOUTH'S TANDEM?

3

4 A. Without additional information, it is not possible to determine whether
5 Intermedia's switch would actually serve a geographic area comparable to
6 BellSouth's tandem. Even if one were to assume that Intermedia's switch
7 covers a geographic area similar to BellSouth's tandem, unless Intermedia's
8 switch is performing tandem functions, which the FCC has indicated is one of
9 the required criteria that an ALEC's switch must meet, Intermedia is not
10 eligible for the tandem switching element of reciprocal compensation.

11

12 Q. HAS THE FCC ADDRESSED TRANSPORT AND TERMINATION?

13

14 A. Yes. In paragraph 1039 of the FCC's First Report and Order, the FCC clearly
15 defines transport:

16 "We conclude that transport and termination should be treated as two
17 distinct functions. We define 'transport' for purposes of section
18 251(b)(5), as the transmission of terminating traffic that is subject to
19 section 251(b)(5) from the interconnection point between the two
20 carriers to the terminating carrier's end office switch that directly
21 serves the called party (or equivalent facility provided by the non-
22 incumbent carrier)."

23 Further, in paragraph 1040 of the FCC's First Report and Order,

24 "We define "termination" for purposes of section 251(b)(5), as the
25 switching of traffic that is subject to section 251(b)(5) at the

1 terminating carrier's end office switch (or equivalent facility) and
2 delivery of that traffic from that switch to the called party's premises."

3

4 Additionally in that same paragraph, the FCC states:

5 "As such, we conclude that we need to treat transport and termination
6 as separate functions – each with its own cost."

7

8 Clearly, the FCC recognized that transport and termination charges should
9 apply only if those functions are provided. Transport includes any flat-rated
10 dedicated services, tandem switching function and "common" transport
11 between the tandem switch and end office switch necessary to transport the
12 call from the interconnection point to the end office. Intermedia's switch is not
13 providing a common transport or tandem function, but is switching traffic
14 through its end office for delivery of that traffic from that switch to the called
15 party's premises.

16

17 Q. IS INTERMEDIA'S POSITION CONSISTENT WITH WHAT THE FCC
18 DETERMINED TO BE THE "ADDITIONAL COST" OF TERMINATING A
19 CALL?

20

21 A. No. In paragraph 1057, the FCC clearly indicates what should be charged for
22 terminating a call:

23 "We find that, once a call has been delivered to the incumbent LEC end
24 office serving the called party, the 'additional cost' to the LEC of
25 terminating a call that originated on a competing carrier's network

1 primarily consists of the traffic-sensitive component of local switching.
2 The network elements involved with the termination of traffic include
3 the end-office switch and local loop. The costs of local loops and line
4 ports associated with local switches do not vary in proportion to the
5 number of calls terminated over these facilities. We conclude that such
6 non-traffic sensitive costs should not be considered 'additional costs'
7 when a LEC terminates a call that originated on the network of a
8 competing carrier.”
9

10 Obviously, the FCC intends for the terminating LEC to recover its loop costs
11 from the end user customer, not the originating LEC. Intermedia is clearly
12 attempting to recover its loop costs from BellSouth by inappropriately
13 classifying its end office switch as a tandem switch.
14

15 Q. HAS THIS COMMISSION PREVIOUSLY RULED ON THE ISSUE OF
16 APPLICABILITY OF RECIPROCAL COMPENSATION TO TANDEM
17 SWITCHING?
18

19 A. Yes. Most recently, in its January 14, 2000 Order No. PSC-00-0128-FOF-TP
20 in Docket No. 990691-TP (ICG/BellSouth Arbitration), this Commission
21 found that “the evidence of record does not provide an adequate basis to
22 determine that ICG’s network will fulfill this geographic criterion.” (p. 10)
23 Therefore, this Commission has determined that BellSouth is not required to
24 compensate ICG for the tandem switching element.
25

1 Earlier, the Florida Public Service Commission, in Order No. PSC-97-0294-
2 FOF-TP, Docket 961230-TP, dated March 14, 1997, concluded at pages 10-11:

3 “We find that the Act does not intend for carriers such as MCI to be
4 compensated for a function they do not perform. Even though MCI
5 argues that its network performs ‘equivalent functionalities’ as Sprint in
6 terminating a call, MCI has not proven that it actually deploys both
7 tandem and end office switches in its network. If these functions are
8 not actually performed, then there cannot be a cost and a charge
9 associated with them. Upon consideration, we therefore conclude that
10 MCI is not entitled to compensation for transport and tandem switching
11 unless it actually performs each function.”
12

13 Similarly, Florida Order No. PSC-96-1532-FOF-TP, Docket No. 960838-TP,
14 dated December 16, 1996, states at page 4:

15 “The evidence in the record does not support MFS’ position that its
16 switch provides the transport element; and the Act does not
17 contemplate that the compensation for transporting and terminating
18 local traffic should be symmetrical when one party does not actually
19 use the network facility for which it seeks compensation. Accordingly,
20 we hold that MFS should not charge Sprint for transport because MFS
21 does not actually perform this function.”

22 Reinstatement of the FCC’s rules previously vacated by the Eighth Circuit
23 Court of Appeals does not alter the correctness of this Commission’s
24 conclusions.
25

1 Q. WHAT DOES BELLSOUTH REQUEST OF THIS COMMISSION?

2

3 A. BellSouth urges this Commission to find that an elemental rate structure, rather
4 than a composite rate structure, is appropriate for compensation of end office
5 switching, tandem switching and common transport. BellSouth proposes that
6 the rates ordered by this Commission for these elements in its December 31,
7 1996 Order No. PSC-96-1579-FOF-TP are the appropriate rates for inclusion
8 in the new interconnection agreement. Further, BellSouth requests this
9 Commission find that Intermedia's end office switches do not perform the
10 same function as BellSouth's tandem switches, nor do they serve the same
11 geographic area. Subsequently, Intermedia is not due compensation for the
12 tandem switching element.

13

14 ***Issue 4: Should BellSouth be required to pay for additional transport charges where***
15 ***Intermedia has configured its network in such a way that its switch is in a different***
16 ***LATA than Intermedia's end user customer?***

17

18 Q. WHAT IS BELLSOUTH'S POSITION ON THIS ISSUE?

19

20 A. This issue appears to consist of two parts:

- 21 (1) BellSouth's ability to designate a Point of Interface ("POI") for the
22 traffic that BellSouth originates to Intermedia, and
23 (2) having established the POI, whether each party is obligated to
24 provide the facilities necessary to transport traffic from that POI to
25 end users on its network.

1 Q. DO THE PROVISIONS OF THE ACT LIMIT BELLSOUTH'S ABILITY TO
2 DESIGNATE A POI FOR THE TRAFFIC THAT BELLSOUTH
3 ORIGINATES TO INTERMEDIA?

4
5 A. No, nothing in the Act limits BellSouth's ability to designate a Point of
6 Interface for traffic it originates to Intermedia. As clarification, the term Point
7 of Interface is synonymous with the term Point of Interconnection as used by
8 the FCC.

9
10 Q. WHAT IS THE FCC'S REQUIREMENT REGARDING POINTS OF
11 INTERFACE?

12
13 A. The FCC addresses the Point Of Interface (i.e., Point Of Interconnection as
14 defined by the FCC) in its First Report & Order, CC Docket 96-98, dated
15 August 1, 1996, in Section IV, Interconnection. In that section, the FCC
16 established the concept that, due to reciprocal compensation being paid by the
17 originating company, the originating company may seek to determine its POI
18 in order to minimize its reciprocal compensation obligation to the terminating
19 company. For example, in Subsection F, Technically Feasible Points Of
20 Interconnection, ¶ 209, the FCC states:

21 *"We conclude that we should identify a minimum list of technically*
22 *feasible points of interconnection that are critical to facilitating entry*
23 *by competing local service providers. Section 251(c)(2) gives*
24 *competing carriers the right to deliver traffic terminating on an*
25 *incumbent LEC's network at any technically feasible point on that*

1 *network, rather than obligating such carriers to transport traffic to less*
 2 *convenient or efficient interconnection points. Section 251(c)(2) lowers*
 3 *barriers to competitive entry for carriers that have not deployed*
 4 *ubiquitous networks by permitting them to select the points in an*
 5 *incumbent LEC's network at which they wish to deliver traffic.*
 6 *Moreover, because competing carriers must usually compensate*
 7 *incumbent LECs for the additional costs incurred by providing*
 8 *interconnection, competitors have an incentive to make economically*
 9 *efficient decisions about where to interconnect. "*

10
 11 This ruling only specifies that the ALEC must establish a POI on the
 12 incumbent LEC's network for traffic originated by the ALEC. It does not
 13 obligate the incumbent LEC to specify a POI on the ALEC's network for
 14 traffic originated by the incumbent LEC.

15
 16 Q. IS THERE A DISPUTE AS TO INTERMEDIA'S ABILITY TO
 17 DESIGNATE A POI FOR ITS ORIGINATING TRAFFIC TERMINATING
 18 ON BELL SOUTH'S NETWORK?

19
 20 A. No. As is clear from the language quoted above, an ALEC may designate a
 21 POI for its originating traffic at any technically feasible point on BellSouth's
 22 network.

23
 24 Q. HAS THE FCC RULED ON AN ILEC'S ABILITY TO DESIGNATE A POI
 25 WHEN THE TRAFFIC ORIGINATES FROM THE ILEC'S NETWORK?

1 A. Yes. In the FCC's Order 96-325, MCI attempted to have the FCC limit the
2 ability of incumbent LECs to specify a POI for their originating traffic. In
3 paragraph 214 of that Order, the FCC states:

4 *"MCI also urges the Commission to require incumbents and*
5 *competitors to select one point of interconnection (POI) on the other*
6 *carrier's network at which to exchange traffic. MCI further requests*
7 *that this POI be the location where the costs and responsibilities of the*
8 *transporting carrier ends and the terminating carrier begins."*

9
10 In paragraph 220, the FCC rejected MCI's request, stating:

11 *"We also conclude that MCI's POI proposal, permitting*
12 *interconnecting carriers, both competitors and incumbent LECs, to*
13 *designate points of interconnection on each other's networks, is at this*
14 *time best addressed in negotiations and arbitrations between parties."*

15 By this conclusion, the FCC refused to limit the incumbent LEC's ability to
16 designate a POI with the interconnecting carrier, and left it up to the
17 negotiation and arbitration process.

18

19 Q. PLEASE EXPLAIN FURTHER BELLSOUTH'S POSITION.

20

21 A. As the originating company, BellSouth simply seeks the option to determine at
22 which points in the network it is more cost effective to deliver BellSouth's
23 originating traffic to an ALEC based upon 1) providing its own transport, or 2)
24 purchasing transport from a third party or 3) paying the terminating ALEC
25 transport reciprocal compensation. In turn, Intermedia must make these same

1 economic decisions for traffic it originates to BellSouth. Not having the option
2 to designate POIs based on such economic analyses would, by default, place
3 BellSouth and its end users at the mercy of delivering BellSouth originating
4 traffic to any ALEC-designated POI notwithstanding the detrimental economic
5 impact on BellSouth's network. The significant economic impact this issue
6 has on BellSouth is clearly demonstrated by the fact that during 1999, region-
7 wide, BellSouth originated and delivered to ALECs 49 billion minutes of use
8 compared to 2 billion minutes of use that ALECs originated and delivered to
9 BellSouth.

10

11 Taken to the extreme, Intermedia might want BellSouth to designate only one
12 POI per LATA; whereas, the most efficient option for BellSouth would be to
13 designate a POI at every end office and remote terminal. In the interest of
14 fairness and equity, a middle ground between the two extremes would appear
15 to be the most reasonable. At most, BellSouth wants to designate no more than
16 one POI in each local calling area. That POI could be at a tandem or at an end
17 office.

18

19 Q. HAVING ESTABLISHED THE POI, IS EACH PARTY OBLIGATED TO
20 PROVIDE THE FACILITIES NECESSARY TO TRANSPORT TRAFFIC
21 FROM THAT POI TO END USERS ON ITS NETWORK?

22

23 A. BellSouth's position is that each party is obligated to provide facilities
24 necessary to transport traffic from the established POI to end users on that
25 party's network. Intermedia's position appears to be that it is not required to

1 provision facilities to locations not on its network to provide transport service
 2 to BellSouth. However, as explained above, BellSouth is not required to
 3 establish the POI for BellSouth originated traffic at a point on Intermedia's
 4 network.

5
 6 BellSouth contends that if Intermedia wants to establish a presence in a
 7 particular local serving area, it should invest in the facilities and transport to
 8 interconnect with BellSouth in that local serving area. However, this doesn't
 9 necessarily mean that Intermedia should construct new transport facilities
 10 within that area. If BellSouth facilities exist, BellSouth may provide the
 11 transport facilities, but Intermedia should compensate BellSouth for the
 12 transport from the BellSouth established Point of Interface to the point where
 13 Intermedia wants the traffic transported.

14

15 ***Issue 7: What charges should Intermedia pay to BellSouth for space preparataion***
 16 ***for physical collocation?***

17

18 Q. WHAT IS BELL SOUTH'S POSITION ON THIS ISSUE?

19 A. The issue of appropriate rates for physical collocation, including space
 20 preparation charges, has been addressed by this Commission in its Order No.
 21 PSC-98-0604-FOF-TP, dated April 29, 1998, wherein the Commission found
 22 that it was appropriate to determine space preparation charges on an Individual
 23 Case Basis ("ICB"). BellSouth proposes that it is appropriate for space
 24 preparation charges to continue to be determined on an ICB until such time as
 25 this Commission determines otherwise.

1 *Issue 12: What is the appropriate definition of “currently combines” pursuant to*
2 *Rule 51.315(b)?*

3

4 Q. WHAT IS BELL SOUTH’S POSITION ON THIS ISSUE?

5

6 A. BellSouth has proposed the following language to Intermedia:

7 Consistent with 47 C.F.R. § 51.315(b), Intermedia may request access
8 to existing combinations of network elements in BellSouth’s network,
9 and BellSouth shall not separate requested network elements that
10 BellSouth currently combines in its network, but shall provide such
11 currently combined elements to Intermedia in the existing combination.
12 For purposes of this Section, “currently combined” and “currently
13 combines” mean that such elements are in fact combined by BellSouth
14 in BellSouth’s network to provide service to a particular customer at a
15 particular location. Such currently combined network elements shall be
16 made available at cost-based rates and shall be used by Intermedia to
17 provide a significant amount of local exchange service to a particular
18 end user.

19

20 Q. DOES BELL SOUTH BELIEVE THAT INTERMEDIA IS AGREEABLE TO
21 THE LANGUAGE PROPOSED BY BELL SOUTH?

22

23 A. Not entirely. The dispute centers around the meaning of “currently combined”
24 and “currently combines.” BellSouth’s position is that it will provide
25 combinations to Intermedia at cost-based prices if the elements are already

1 combined and providing service to the customer. In other words, if BellSouth
2 does not have to perform any physical work to effect the combination, then the
3 combination will be provided at cost-based prices. However, Intermedia
4 apparently considers “currently combined” and “currently combines” to refer
5 to any service that BellSouth offers in its tariffs, whether or not the elements
6 are physically combined and serving the particular customer in question.

7

8 Q. WAS THIS ISSUE ADDRESSED IN THE FCC’S UNE REMAND ORDER?

9

10 A. Yes. The FCC confirmed that BellSouth presently has no obligation to
11 combine network elements for ALECs, when those elements are not currently
12 combined in BellSouth’s network. The FCC also confirmed that “except upon
13 request, an incumbent LEC shall not separate requested network elements that
14 the incumbent LEC currently combines.” 47 C.F.R. §51.315(b). For example,
15 when a loop and a port (at least for certain customers with fewer than four
16 access lines) are currently combined by BellSouth to serve a particular
17 customer, that combination of elements must be made available to requesting
18 carriers.

19

20 The FCC made clear in its UNE Remand Order that Rule 315(b) applies to
21 elements that are “in fact” combined. In that Order, the FCC found that “to the
22 extent an unbundled loop is in fact connected to unbundled dedicated transport,
23 the statute and our rule 315(b) require the incumbent to provide such elements
24 to requesting carriers in combined form.” (Para. 480 – emphasis added)
25 However, the FCC declined to adopt a definition of “currently combined” that

1 would include all elements “ordinarily combined” in the incumbent’s network,
 2 which is apparently the definition advocated by Intermedia. *Id.*

3

4 ***Issue 13: Should BellSouth be required to:***

5 ***a) provide access to enhanced extended links (“EELs”) at UNE rates; and***

6 ***b) allow Intermedia to convert existing special access service to EELs at***

7 ***UNE rates?***

8

9 Q. WHAT IS BELL SOUTH’S POSITION ON THIS ISSUE?

10

11 A. First, the FCC declined to define the EEL as a separate network element in its
 12 UNE Remand Order. (Para 478) Accordingly, except to the extent where
 13 currently combined elements in BellSouth’s network that comprise an EEL are
 14 located, BellSouth currently has no obligation to provide ALECs with the EEL.
 15 However, it is virtually impossible to separate Part a) of this issue from Part b).

16

17 On the surface, it would appear that when an ALEC has purchased currently
 18 combined elements that may comprise the EEL, the ILEC would have to
 19 provide that combination at cost-based prices. However, an ALEC’s ability to
 20 convert special access facilities to unbundled elements is constrained at least
 21 until the FCC completes its Fourth Notice of Proposed Rulemaking. (Para.
 22 489) The FCC ordered such constraints in order to allow the FCC to develop
 23 an adequate record to examine the concern “that allowing requesting carriers to
 24 obtain combinations of loop and transport unbundled network elements based
 25 on forward-looking cost would provide opportunities for arbitrage of special

1 access services,” and thereby negatively impact universal service. (UNE
2 Remand Order, Para. 494; November 24, 1999 Supplemental Order, Para 4)
3 Until that rulemaking is complete, the FCC has made clear that carriers may
4 not convert special access services to combinations of unbundled network
5 elements unless the carrier uses combinations of network elements to provide a
6 significant amount of local exchange service, in addition to exchange access
7 service to a particular customer. (November 24, 1999 Supplemental Order
8 Paras. 2 & 4)

9

10 Q. HAS THIS COMMISSION PREVIOUSLY RULED ON THIS ISSUE?

11

12 A. Yes, in its Order No. PSC-00-0128-FOF-TP, dated January 14, 2000, the
13 Commission determined that EELs are not required to be made available to
14 ICG in the interconnection agreement as UNEs. (p. 9)

15

16 *Issue 15: Should BellSouth be required to condition loops in accordance with the*
17 *FCC’s most recent ruling?*

18

19 Q. WHAT IS BELL SOUTH’S POSITION ON THIS ISSUE?

20

21 A. BellSouth has proposed the following language, which is consistent with
22 §51.319(a)(3) of the FCC’s UNE Remand Order and with Intermedia’s
23 proposed language:

24

25

1 Subject to applicable and effective FCC rules and orders, BellSouth
2 shall condition loops, as requested by Intermedia, whether or not
3 BellSouth offers advanced services to the End User on that loop.

4
5 Loop conditioning is defined as the removal from the loop of any
6 devices that may diminish the capability of the loop to deliver high-
7 speed switched wireline telecommunications capability, including
8 xDSL service. Such devices include, but are not limited to, bridge taps,
9 low pass filters, and range extenders.

10
11 BellSouth shall recover the cost of loop conditioning requested by
12 Intermedia through a nonrecurring charge set forth in this Attachment.

13
14 To the extent technically feasible, BellSouth, using testing equipment
15 that is owned and operated by BellSouth, shall test and report trouble
16 for all the features, functions, and capabilities of conditioned loops, and
17 may not restrict testing to voice-transmission only.

18 As I previously explained, BellSouth is proposing interim rates for loop
19 conditioning. These rates, shown on Exhibit AJV-1, would be subject to true-
20 up when Florida-specific rates, to be proposed in April, are adopted by the
21 Commission.

22
23 ***Issue 17: Should BellSouth be required to offer subloop unbundling and access to***
24 ***BellSouth-owned inside wiring in accordance with the UNE Remand Order and***
25 ***FCC Rule 319(a)?***

1 Q. WHAT IS BELL SOUTH'S POSITION ON PROVISIONING OF ACCESS
2 TO SUBLOOP UNBUNDLING?

3

4 A. Please see Mr. Milner's testimony for a discussion of the technical aspects of
5 this issue. BellSouth has proposed the following language, which is consistent
6 with §51.319(a)(2) of the FCC's UNE Remand Order and with Intermedia's
7 proposed language:

8 Where facilities permit and subject to applicable and effective FCC
9 rules and orders, BellSouth shall offer access to its Unbundled Sub
10 Loop (USL), Unbundled Sub Loop Concentration (USLC) System and
11 Unbundled Network Terminating Wire (UNTW) elements. BellSouth
12 shall provide nondiscriminatory access, in accordance with § 51.311
13 and section 251(c)(3) of the Act, to the subloop, including inside wiring
14 owned or controlled by BellSouth, if any, on an unbundled basis
15 pursuant to the following terms and conditions and at the rates set forth
16 in this Attachment.

17

18 The subloop network element is defined as any portion of the loop that
19 is technically feasible to access at terminals in BellSouth's outside
20 plant, including inside wire owned and controlled by BellSouth, if any.

21 An accessible terminal is any point on the loop where technicians can
22 access the wire or fiber within the cable without removing a splice case
23 to reach the wire or fiber within. Such points may include, but are not
24 limited to, the pole or pedestal, the network interface device, the
25 minimum point of entry, the single point of interconnection, the main

1 distribution frame, the remote terminal, and the feeder/distribution
2 interface.

3
4 *Technical feasibility.* Subject to applicable and effective FCC rules and
5 orders, if the Parties are unable to reach agreement, pursuant to
6 voluntary negotiations, as to whether it is technically feasible, or
7 whether sufficient space is available, to unbundle the subloop at the
8 point where a carrier requests, BellSouth shall have the burden of
9 demonstrating to the Commission, pursuant to state arbitration
10 proceedings under section 252 of the Act, that there is not sufficient
11 space available, or that it is not technically feasible, to unbundle the
12 subloop at the point requested

13
14 *Best practices.* Once any state commission has determined that it is
15 technically feasible to unbundle subloops at a designated point,
16 BellSouth shall have the burden of demonstrating, pursuant to state
17 arbitration proceedings under section 252 of the Act, that it is not
18 technically feasible, or that sufficient space is not available, to
19 unbundle its own loops at such a point.

20
21 *Subloop access via collocation.* Where requested by Intermedia,
22 BellSouth shall provide access to the subloop in accordance with the
23 FCC's collocation rules, 47 C.F.R. §§ 51.321-323.

1 *Single point of interconnection.* Subject to applicable and effective
2 FCC rules and orders, BellSouth shall provide a single point of
3 interconnection at multi-unit premises that is suitable for use by
4 multiple carriers. This obligation is in addition to BellSouth's
5 obligation to provide nondiscriminatory access to subloops at any
6 technically feasible point. If the Parties are unable to negotiate terms
7 and conditions regarding a single point of interconnection, issues in
8 dispute, including compensation due BellSouth under forward-looking
9 pricing principles, shall be resolved under the dispute resolution
10 processes set forth in this Agreement.

11
12 BellSouth will provide Intermedia with the ability to concentrate its
13 sub-loops onto multiple DS1s back to the BellSouth Central Office.
14 The DS1s will then be terminated into Intermedia's collocation space.
15 TR-008 and TR303 interface standards are available.

16
17 This Commission has already established rates for sub-loop distribution in
18 Order No. PSC-98-0604-FOF-TP, dated April 29, 1998. As I previously
19 indicated, BellSouth is proposing interim rates for sub-loop feeder and Loop
20 Channelization. These rates, shown on Exhibit AJV-1, would be subject to
21 true-up when Florida-specific rates, to be proposed in April, are adopted by the
22 Commission.

23
24 Q. WHAT IS BELL SOUTH'S POSITION ON PROVISIONING OF
25 BELL SOUTH-OWNED INSIDE WIRING?

1 A. Again, please see Mr. Milner's testimony for a discussion of the technical
2 aspects of this issue. In order to provide Intermedia with access to unbundled
3 Network Terminating Wire, BellSouth has proposed the following language to
4 Intermedia:

5 BellSouth will provide Intermedia with access to its Unbundled
6 Network Terminating Wire (UNTW) pursuant to the following terms
7 and conditions at rates as set forth in this Attachment, and in a manner
8 consistent with applicable and effective FCC rules and decisions,
9 including, but not limited to C.F.R § 51.319.

10

11 BellSouth will offer spare pairs that are available to an end user's
12 premises to Intermedia. Available spare pairs are defined as pairs that
13 are not being utilized by BellSouth or by a third party to provide an end
14 user with working service at the time of Intermedia's request for
15 UNTW. If BellSouth has relinquished the first pair to Intermedia and
16 the end user decides to change local service providers to BellSouth,
17 Intermedia will relinquish the first pair back to BellSouth.

18 Notwithstanding the foregoing, should BellSouth subsequently require
19 the use of additional pair(s) to provide for the activation of additional
20 lines in an end user's premises in response to a request from such end
21 user and no additional pairs are available, Intermedia agrees to
22 surrender its spare pair(s) upon request by BellSouth, provided that
23 Intermedia is not using such spare pair(s) to provide service to the end
24 user.

25

1 If an end user of Intermedia desires to receive local exchange service
2 from a service provider who is not a Party to this Agreement, and such
3 third party service provider needs access to the BellSouth UNTW to
4 provide local exchange service to the end user, then Intermedia agrees
5 to surrender the requisite number of its inactive spare pair(s) if no other
6 spare pair is available and upon request by BellSouth.

7
8 If Intermedia has placed NTW at a location and an end user desires to
9 receive local exchange service from BellSouth and BellSouth needs
10 access to Intermedia's NTW to provide local exchange service to the
11 end user, then Intermedia agrees to surrender the requisite number of its
12 spare pair(s) upon request by BellSouth.

13
14 In new construction, where possible, both Parties may at their option
15 and with the property owner's agreement install their own NTW. In
16 existing construction, BellSouth shall not be required to install new or
17 additional NTW beyond existing NTW to provision the services of
18 Intermedia.

19
20 This Commission approved rates for UNTW in Order No. PSC-99-2009-FOF-
21 TP issued October 14, 1999 in the MediaOne/BellSouth Arbitration
22 proceeding. Those rates are the appropriate rates to charge any ALEC in
23 Florida.

1 *Issue 18: Should BellSouth be required to provide access on an unbundled basis in*
2 *accordance with, and as defined in, the FCC's UNE Remand Order, to packet*
3 *switching capabilities?*

4

5 Q. WHAT IS BELL SOUTH'S POSITION ON THIS ISSUE?

6

7 A. BellSouth contends that neither the 1996 Act nor the FCC's Rules require it to
8 unbundle packet switching. In its UNE Remand Order, the FCC expressly
9 declined "to unbundle specific packet switching technologies incumbents
10 LECs may have deployed in their networks." (Para. 311) While the FCC
11 adopted "one limited exception" to this rule, which I will discuss below, the
12 FCC specifically rejected "e.spire/Intermedia's request for a packet switching
13 or frame relay unbundled element." (Para. 312) Indeed, the FCC concluded
14 that "e.spire/Intermedia have not provided any specific information to support
15 a finding that requesting carriers are impaired without access to unbundled
16 frame relay." *Id* Therefore, the Commission should not require BellSouth to
17 offer access to packet switching capabilities on an unbundled basis.

18

19 Q. PLEASE EXPLAIN THE "LIMITED EXCEPTION" TO WHICH YOU
20 EARLIER REFERRED.

21

22 A. Basically, in its Rule 51.319(c)(5), the FCC identified four conditions that, if
23 each condition were satisfied, would result in an ILEC having to unbundle
24 packet switching. Each of these conditions do not exist in BellSouth's
25 network. BellSouth has taken the necessary measures to ensure that ALECs

1 have access to necessary facilities so that BellSouth is not required to unbundle
2 packet switching.

3

4 Q. WHAT DID THE FCC FIND IN ITS DETERMINATION OF WHETHER
5 ACCESS TO UNBUNDLED PACKET SWITCHING MET THE FCC's
6 "NECESSARY" STANDARD?

7

8 A. The FCC stated in its UNE Remand Order that "no party alleged that packet
9 switching was proprietary within the meaning of section 251(d)(2)" and "that
10 the record provides no basis for withholding packet switching from
11 competitors based on proprietary considerations or subjecting packet switching
12 to the more demanding 'necessary' standard set forth in section 251(d)(2)(A)."
13 (Para. 305) The FCC found it appropriate to examine packet switching under
14 the "impair" standard of section 251(d)(2)(B).

15

16 Q. WHAT DID THE FCC FIND IN ITS DETERMINATION OF WHETHER
17 ACCESS TO UNBUNDLED PACKET SWITCHING MET THE FCC's
18 "IMPAIR" STANDARD?

19

20 A. The FCC determined that competing carriers would not be impaired without
21 unbundled access to the incumbent LEC's packet switching functionality.
22 (Para. 306) The FCC recognized that there are numerous carriers providing
23 service with their own packet switches, and that "competitors are actively
24 deploying facilities used to provide advanced services to serve certain

25

1 segments of the market - namely, medium and large business - and hence they
2 cannot be said to be impaired in their ability to offer service.” *Id.*

3

4 Q. DID THE FCC EMPOWER STATE COMMISSIONS TO REQUIRE
5 INCUMBENT LECs TO UNBUNDLE SPECIFIC NETWORK ELEMENTS
6 USED TO PROVIDE FRAME RELAY SERVICE?

7

8 A. Yes, but only to the extent that a competing carrier convinces the state
9 commission that it is impaired without access to such unbundled network
10 elements - a showing the FCC found that Intermedia failed to make. (UNE
11 Remand Order, Para. 312) In its UNE Remand Order, the FCC established the
12 “impair” standards by which it would determine if a network element should
13 be unbundled.

14 The FCC concluded that

15 “the failure to provide access to a network element would ‘impair’ the
16 ability of a requesting carrier to provide the services it seeks to offer if,
17 taking into consideration the availability of alternative elements outside
18 the incumbent’s network, including self-provisioning by a requesting
19 carrier or acquiring an alternative from a third-party supplier, lack of
20 access to that element materially diminishes a requesting carrier’s
21 ability to provide the services it seeks to offer.” (Para. 51)

22 The FCC went on to say that a materiality component “requires that there be
23 substantive differences between the alternative outside the incumbent LEC’s
24 network and the incumbent LEC’s network element that, collectively, ‘impair’

25

1 a competitive LEC's ability to provide service within the meaning of section
2 251(d)(2)." *Id.*

3

4 Even assuming a state commission is authorized to alter the conditions
5 established by the FCC for the unbundling of packet switching, Intermedia has
6 the burden of proof concerning whether it is impaired by not having access to
7 BellSouth's packet switching functionality on an unbundled basis. BellSouth
8 contends that Intermedia has not provided any evidence in this case that would
9 satisfy this burden. For the Commission's convenience, I have attached to my
10 testimony as Exhibits AJV-2 and AJV-3 the pertinent excerpts from
11 BellSouth's Comments and Reply Comments filed with the FCC in CC Docket
12 No. 96-98.

13

14 Q. HAS THIS COMMISSION PREVIOUSLY RULED ON THIS ISSUE?

15

16 A. Yes, in its Order No. PSC-00-0128-FOF-TP, dated January 14, 2000, the
17 Commission determined that BellSouth was not required to offer ICG access to
18 packet switching capabilities as UNEs. (p. 7)

19

20 *Issue 22: Should BellSouth be required to provide nondiscriminatory access to*
21 *interoffice transmission facilities in accordance with, and as defined in, the FCC's*
22 *UNE Remand Order?*

23

24 Q. WHAT IS BELL SOUTH'S POSITION ON THIS ISSUE?

25

1 A. BellSouth has proposed the following language, which is consistent with
2 §51.319(d) of the FCC's UNE Remand Order and with Intermedia's proposed
3 language:

4 BellSouth shall provide nondiscriminatory access, in accordance with
5 FCC Rule 51.311 and Section 251(c)(3) of the Act, to interoffice
6 transmission facilities on an unbundled basis to Intermedia for the
7 provision of a telecommunications service at the rates set forth in this
8 Attachment.

9 Interoffice transmission facility network elements include:

- 10 (i) Dedicated transport, defined as BellSouth's
11 transmission facilities, including all technically
12 feasible capacity-related services including, but not
13 limited to, DS1, DS3 and OCn levels, dedicated to a
14 particular customer or carrier, that provide
15 telecommunications between wire centers or
16 switches owned by BellSouth, or between wire
17 centers and switches owned by BellSouth and
18 Intermedia;
- 19 (ii) Dark Fiber transport, defined as BellSouth's optical
20 transmission facilities without attached multiplexing,
21 aggregation or other electronics;
- 22 (iii) Shared transport, defined as transmission facilities
23 shared by more than one carrier, including
24 BellSouth, between end office switches, between
25

1 end office switches and tandem switches, and
2 between tandem switches, in BellSouth's network.

3 BellSouth shall:

- 4 (i) Provide Intermedia exclusive use of interoffice
5 transmission facilities dedicated to a particular
6 customer or carrier, or shared use of the features,
7 functions, and capabilities of interoffice transmission
8 facilities shared by more than one customer or
9 carrier;
- 10 (ii) Provide all technically feasible transmission
11 facilities, features, functions, and capabilities that
12 Intermedia could use to provide telecommunications
13 services;
- 14 (iii) Permit, to the extent technically feasible, Intermedia
15 to connect such interoffice facilities to equipment
16 designated by Intermedia, including but not limited
17 to, Intermedia's collocated facilities; and
- 18 (iv) Permit, to the extent technically feasible, Intermedia
19 to obtain the functionality provided by BellSouth's
20 digital cross-connect systems in the same manner
21 that BellSouth provides such functionality to
22 interexchange carriers.

23
24 As I previously explained, BellSouth is proposing interim rates for high
25 capacity facilities and dark fiber. These rates, shown on Exhibit AJV-1, would

1 be subject to true-up when Florida-specific rates, to be proposed in April, are
2 adopted by the Commission.

3

4 ***Issue 25: Should BellSouth be required to furnish access to the following as UNEs:***

5 ***(i) User to Network Interface ("UNI"); (ii) Network-to-Network Interface ("NNI")***

6 ***and (iii) Data Link Control Identifiers ("DLCI"), at Intermedia-specified committed***

7 ***information rates ("CIR")?***

8

9 Q. WHAT IS BELLSOUTH'S POSITION ON THIS ISSUE?

10

11 A. This issue addressed specific components of Frame Relay service, and whether
12 BellSouth is required to furnish access to these components as UNEs. As I
13 discuss in more detail below, Frame Relay is a form of packet switching. Of
14 course, I explained in my response to Issue 18 that the FCC declined to
15 unbundle the packet switching functionality, of which frame relay is a type,
16 except in limited circumstances. Those circumstances do not apply to
17 BellSouth. Therefore, BellSouth requests this Commission find that BellSouth
18 is not required to provide access to these elements at TELRIC-based rates.
19 BellSouth has a tariffed Frame Relay service which is available for
20 interconnection of the parties' frame relay networks.

21

22 Q. WHAT IS FRAME RELAY?

23

24 A. Frame Relay is a type of packet switching that allows the transfer of variable
25 length frames (packets of customer data) across large geographical areas to

1 provide LATA-wide, interLATA, interstate and international connectivity.
 2 Frames are relayed from the source to the desired destination by means of
 3 virtual connections. Bandwidth and switch capacity within the network are
 4 only allocated to a virtual connection when frames are transported. Virtual
 5 connections can be established and deleted either through administrative
 6 procedures (referred to as Permanent Virtual Connections (PVCs)) or via
 7 network signaling.

8

9 *Issue 26: Should parties be allowed to establish their own local calling areas and*
 10 *assign numbers for local use anywhere within such areas, consistent with applicable*
 11 *law?*

12

13 Q. WHAT IS BELLSOUTH'S POSITION ON THIS ISSUE?

14

15 A. BellSouth's position is that Intermedia should use its NPA/NXXs in such a
 16 way that BellSouth can distinguish local traffic from intraLATA toll traffic and
 17 interLATA toll traffic for BellSouth originated traffic. When an ALEC assigns
 18 numbers having the same NPA/NXX to customers both inside and outside the
 19 BellSouth local calling area where the NPA/NXX is homed, it would be
 20 extremely difficult, if not impossible, for BellSouth to determine whether
 21 BellSouth's end users are making a local or a long distance call when
 22 BellSouth's end user calls the ALEC's end user. This situation is addressed in
 23 Florida Statute 364.16(3)(a) wherein it states that:

24 No local exchange telecommunications company or alternative local
 25 exchange telecommunications company shall knowingly deliver traffic,

1 for which terminating access service charges would otherwise apply,
2 through a local interconnection arrangement without paying the
3 appropriate charges for such terminating access service.

4 Intermedia should not be permitted to violate this statute.

5

6 Q. IS BELLSOUTH ATTEMPTING TO LIMIT INTERMEDIA'S ABILITY TO
7 ESTABLISH ITS OWN LOCAL CALLING AREAS?

8

9 A. No. BellSouth is indifferent to the manner in which Intermedia defines its
10 local calling areas for its own end users. However, in order to properly route
11 traffic, any telecommunications service provider such as BellSouth or an
12 ALEC must inform all other telecommunications service providers as to where
13 traffic for a given NPA/NXX code should be delivered for completion of the
14 calls. Telecommunications service providers then build translations and
15 routing instructions based on that information. For example, the ALEC may, if
16 it chooses, interconnect at the local tandem for exchange of local traffic.
17 Where more than one local tandem exists in a local calling area, the ALEC
18 must designate a "home" local tandem for its NPA/NXX codes and
19 interconnect at that tandem. The ALEC may deliver local traffic to all
20 BellSouth NPA/NXX codes in the local calling area by connecting to any one
21 of the local tandems. Alternatively, the ALEC may choose to establish trunk
22 groups directly between its switch(es) and each of the other local service
23 providers' switch(es) instead of delivering its traffic via the tandem.
24 BellSouth's interest in knowing Intermedia's NPA/NXX code homing
25 arrangements is in no way an effort to limit Intermedia's flexibility in how it

1 designs and operates its network. BellSouth's interest is simply in ensuring
2 that calls are successfully routed, completed and billed. This can not be
3 accomplished without Intermedia's informing BellSouth and other service
4 providers of how and where to deliver and receive traffic to and from
5 Intermedia's customers.

6

7 ***Issue 31: For purposes of compensation, how should IntraLATA Toll Traffic be***
8 ***defined?***

9

10 Q. WHAT IS BELL SOUTH'S POSITION ON THIS ISSUE?

11

12 A. BellSouth has proposed the following language to Intermedia:

13 IntraLATA Toll Traffic is defined as any telephone call that is not local
14 or switched access per this Agreement.

15 The intent of BellSouth's definition is to identify the traffic specific to
16 BellSouth's General Subscriber Service Tariffs A18 and A19 as IntraLATA
17 Toll Traffic.

18

19 ***Issue 32: How should "Switched Access Traffic" be defined?***

20

21 Q. WHAT IS BELL SOUTH'S POSITION ON THIS ISSUE?

22

23 A. BellSouth has proposed the following language for inclusion in the
24 Interconnection Agreement:

25

1 Switched Access Traffic is as defined in the BellSouth Access Tariff.
2 Additionally, IP Telephony traffic will be considered switched access
3 traffic.

4 BellSouth believes that it is not necessary to provide a detailed definition of
5 "switched access traffic" in a local interconnection agreement. The Access
6 Tariff is the document that defines such traffic.

7

8 Q. WHY HAS BELL SOUTH INCLUDED IN ITS PROPOSED DEFINITION
9 OF SWITCHED ACCESS TRAFFIC THE STATEMENT THAT INTERNET
10 PROTOCOL TELEPHONY ("IP TELEPHONY") IS SWITCHED ACCESS
11 TRAFFIC?

12

13 A. Due to the increasing use of IP technology mixed with traditional analog and
14 digital technology to transport voice long distance telephone calls, BellSouth's
15 position is that it is important to specify in the agreement that such traffic is
16 switched access traffic rather than local traffic, the same as any other long
17 distance traffic is not local traffic.

18

19 Q. WHAT IS IP TELEPHONY?

20

21 A. IP Telephony is telecommunications service that is provided using Internet
22 Protocol for one or more segments of the call. IP Telephony is, in very simple
23 and basic terms, a mode or method of completing a telephone call. The word
24 "Internet" in Internet Protocol Telephony refers to the name of the protocol; it
25 does not mean that the service uses the World Wide Web. Currently there are

1 various technologies used to transmit telephone calls, of which the most
2 common are analog and digital. In the case of IP Telephony originated from a
3 traditional telephone set, the local carrier first converts the voice call from
4 analog to digital. The digital call is sent to a gateway that takes the digital
5 voice signal and converts or packages it into data packets. These data packets
6 are like envelopes with addresses which “carry” the signal across a network
7 until they reach their destination, which is known by the address on the data
8 packet, or envelope. This destination is another gateway, which reassembles
9 the packets and converts the signal to analog, or a plain old telephone call to be
10 terminated on the called party’s local telephone company’s lines.

11

12 To explain it another way, Phone-to-Phone IP Telephony is where an end user
13 customer uses a traditional telephone set to call another traditional telephone
14 set using IP Telephony. The fact that IP technology is used, at least in part, to
15 complete the call is transparent to the end user. Phone-to-Phone IP Telephony
16 is identical, by all relevant regulatory and legal measures, to any other basic
17 telecommunications service, and should not be confused with calls to the
18 Internet through an ISP. Characteristics of Phone-to-Phone IP Telephony are:

- 19 • IP Telephony provider gives end users traditional dial tone (not
20 modem buzz);
- 21 • End user does not call modem bank;
- 22 • Uses traditional telephone sets (vs. computer);
- 23 • Call routes using telephone numbers (not IP addresses);
- 24 • Basic telecommunications (not enhanced);
- 25 • IP Telephone providers are telephone carriers (not ISPs).

1 Phone-to-Phone IP Telephony should not be confused with Computer-to-
2 Computer IP Telephony, where computer users use the Internet to provide
3 telecommunications to themselves.

4

5 Q. WHAT IS INTERNET PROTOCOL?

6

7 A. Technically speaking, Internet protocol, or any other protocol, is an agreed
8 upon set of technical operating specifications for managing and
9 interconnecting networks. In the above example, I referred to the gateways
10 which convert the digital carrier voice signal into data packets and then from
11 data packets back to a digital carrier. The Internet protocol is the language, or
12 signaling, that these gateways use to talk to each other. It has nothing to do
13 with the transmission medium (wire, fiber, microwave, etc.) that carries the
14 packets between the gateways, but rather the gateways, or switches, that are
15 found on either end of that medium.

16

17 Q. HOW ARE IP TELEPHONY CALLS DIFFERENT FROM INTERNET
18 SERVICE PROVIDER (ISP) BOUND TRAFFIC?

19

20 A. Even though IP Telephony and ISP traffic both have the word "Internet" in
21 their name, they are completely different services and should not be confused.
22 The FCC's April 10, 1998 Report to Congress states: "The record...
23 suggests... 'phone-to-phone IP telephony' services lack the characteristics that
24 would render them 'information services' within the meaning of the statute,
25 and instead bear the characteristics of 'telecommunication services'." Further,

1 Section 3 of the Telecommunications Act of 1996 defines
2 “telecommunications” as the “transmission, between or among points specified
3 by the user, of information of the user’s choosing, without change in the form
4 or content of the information as sent and received.” Thus, IP Telephony is
5 telecommunications service, not information or enhanced service.

6

7 Q. DOES THE FCC VIEW ISP-BOUND TRAFFIC DIFFERENTLY THAN IP
8 TELEPHONY IN TERMS OF APPLICABLE CHARGES?

9

10 A. Yes. Neither ISP-bound traffic nor IP Telephony traffic is local traffic;
11 however, the FCC has treated the two types of traffic differently in terms of the
12 rates that such providers pay for access to the local exchange company’s
13 network. ESPs, or ISPs, have been exempted by the FCC from paying access
14 charges for use of the local network in order to encourage the growth of these
15 emerging services – most specifically access to the Internet. The FCC has
16 found that ESPs and ISPs use interstate access service, but are exempt from
17 switched access charges applicable to other long distance traffic. Instead, ISP-
18 bound traffic is assessed at the applicable business exchange rate. On the other
19 hand, the transmission of long-distance voice services – whether by IP
20 telephony or by more traditional means -- is not an emerging industry. In fact,
21 it is a mature industry – one that is not exempt from paying access charges for
22 the use of the local network. These same access charges are currently paid by
23 all other long-distance carriers. BellSouth is required to assess access charges
24 on long distance calls. To do otherwise would be to discriminate between
25 long-distance carriers utilizing IP telephony and those who do not.

1 *Issue 35: How should Wireless Type 1 and/or Type 2A traffic be treated purposes of*
2 *the Parties' interconnection agreement?*

3

4 Q. WHAT IS BELL SOUTH'S POSITION ON THIS ISSUE?

5

6 A. This issue deals with whether wireless traffic should be treated as transit traffic
7 for routing and billing purposes. "Transit traffic" is traffic that originates on
8 one Party's network, is switched and transported by a second Party and then is
9 sent to a third Party's network. The Party that switches the call from the first
10 Party to the third Party is due payment for that function. However, in many
11 cases, when a wireless company is one of the three Parties, neither BellSouth,
12 the wireless company nor the ALEC has the necessary system capabilities
13 required to bill each other using the normal Meet Point Billing process. In
14 addition, as discussed below, for Wireless Type 1 traffic, BellSouth is unable
15 to determine whether or not the transiting function is being performed. As a
16 result, BellSouth simply proposes that traffic involving wireless carriers be
17 treated as if it were land-line traffic originated by either BellSouth or the
18 ALEC until the involved parties have the necessary Meet Point Billing system
19 capabilities.

20

21 Q. PLEASE PROVIDE ADDITIONAL EXPLANATION OF WIRELESS TYPE
22 1 AND TYPE 2A TRAFFIC.

23

24 A. Wireless Type 1 traffic is wireless traffic that uses a BellSouth NXX. In other
25 words, the wireless carrier does not have its own NXX, but uses an NXX

1 assigned to BellSouth's land-line service. In this case, the Wireless Type 1
2 Traffic is indistinguishable from BellSouth-originated or BellSouth-terminated
3 traffic from a Meet Point Billing perspective. Therefore, for routing and
4 billing purposes, BellSouth is proposing to treat this transit traffic as
5 BellSouth-originated or terminated traffic. In reality, there is very little of this
6 type traffic, since most wireless carriers have distinct NXXs assigned.

7
8 Wireless Type 2A traffic is wireless traffic that is distinguishable from
9 BellSouth-originated or terminated traffic because the wireless carrier has
10 distinct NXXs assigned for its use. However, most wireless carriers have not
11 yet established Meet Point Billing arrangements with BellSouth. Such
12 arrangements are necessary in order for BellSouth to send the appropriate
13 billing records to the wireless carrier and to the ALEC. Therefore, until such
14 agreements with Type 2A wireless companies subtending BellSouth switches
15 are executed, BellSouth must treat Wireless Type 2A transit traffic as
16 BellSouth-originated or terminated traffic.

17
18 ***Issue 36: What should the appropriate compensation mechanism for transit traffic***
19 ***be for purposes of the Parties' interconnection agreement?***

20
21 Q. WHAT IS BELL SOUTH'S POSITION ON THIS ISSUE?

22
23 A. The appropriate compensation for transit traffic depends on whether the call is
24 a local call or a long distance call. If it is a local call, then reciprocal
25 compensation is the appropriate compensation mechanism. If it is a long

1 distance call, then the applicable rate from either the state or the federal access
2 service tariff is the appropriate compensation mechanism.

3
4 The appropriate compensation mechanism for transit traffic involving a
5 wireless carrier is as I described in my discussion of Issue 35. Wireless Type 1
6 traffic will be compensated as local traffic. Wireless Type 2A traffic will be
7 compensated as local traffic until the wireless provider executes a meet-point
8 billing arrangement with BellSouth. Once that arrangement is established,
9 such traffic will be compensated as is any other transit traffic depending on
10 whether the call is local or long distance.

11

12 *Issue 37: Should all framed packet data transported within a Virtual Circuit ("VC")*
13 *that originate and terminate within a LATA be classified as local traffic?*

14

15 Q. WHAT IS BELL SOUTH'S POSITION ON THIS ISSUE?

16

17 A. BellSouth has proposed the following language to Intermedia:

18 Frame Relay framed packet data is transported within Virtual Circuits
19 ("VC"). If all the data packets transported within a VC originate and
20 terminate within the LATA, then for purposes of establishing
21 interconnections between the Parties, such traffic will be treated the
22 same as local circuit switched traffic ("Local VC"). This traffic will
23 not be treated as Local Traffic for any other purpose under this
24 Agreement, including but not limited to reciprocal compensation.

25

1 BellSouth has proposed this language to facilitate the process of
 2 interconnecting the two carriers' networks. However, frame relay traffic
 3 originated and terminated in the LATA is not subject to reciprocal
 4 compensation.

5
 6 *Issue 38: If there are no Virtual Circuits on a frame relay interconnection facility*
 7 *when it is billed, should the parties deem the Percent Local Circuit Use to be zero?*

8
 9 Q. WHAT IS BELLSOUTH'S POSITION ON THIS ISSUE?

10
 11 A. BellSouth's position is that, if there are no Virtual Circuits on a frame relay
 12 interconnection facility when it is billed, then the PLCU should be zero.
 13 Conversely, Intermedia contends the PLCU should be 100% in this situation.

14
 15 Q. WHAT IS THE IMPLICATION OF THE PLCU BEING ZERO VERSUS ITS
 16 BEING ONE HUNDRED PERCENT?

17
 18 A. Upon request from an ALEC such as Intermedia, BellSouth establishes
 19 interconnection trunks between the two parties' frame relay networks. When
 20 the trunks have been installed, BellSouth bills Intermedia a nonrecurring
 21 charge as well as a monthly recurring charge. Once frame relay traffic is
 22 flowing over the trunks, Intermedia advises BellSouth of the PLCU; that is,
 23 Intermedia advises BellSouth what percent of the traffic is expected to be local
 24 versus interLATA long distance. BellSouth reimburses Intermedia for a
 25 portion of the interconnection trunk charges based on the PLCU. For example,

1 if the PLCU is 10%, then BellSouth reimburses Intermedia for 5% of the
2 charges (PLCU / 2). However, to the extent that the trunks are used for
3 interLATA frame relay, as is generally the case, Intermedia is solely
4 responsible for the trunk charges.

5
6 The limited situation addressed by this issue occurs when a frame relay
7 interconnection trunk is turned up for service, but no traffic has begun to flow
8 over the trunk. If, during this interim period of time, the PLCU is deemed to
9 be zero, as BellSouth proposes, then BellSouth does not reimburse Intermedia
10 for any trunk charges. On the other hand, if the PLCU is deemed to be 100%,
11 as Intermedia proposes, then BellSouth would have to reimburse Intermedia
12 for half of the trunk charges. BellSouth believes Intermedia's position is
13 inappropriate for two reasons. One, Intermedia requested the trunk, and
14 Intermedia controls when traffic begins to flow over the trunk. Therefore,
15 BellSouth should not incur any charges until Intermedia begins to flow traffic
16 over the trunk. Second, based on experience, frame relay interconnection
17 trunks primarily carry traffic outside the LATA. Therefore, once traffic is
18 flowing over the trunks and an accurate PLCU can be established, the PLCU is
19 likely to be much closer to zero than to 100%.

20
21 As a compromise, BellSouth has recently offered language to Intermedia
22 proposing that the PLCU be determined in aggregate by dividing the total
23 number of Local VCs in a given LATA by the total number of VCs in that
24 LATA. This language would result in the same PLCU being applied to all
25 Local VCs in a given LATA, even if there are no Virtual Circuits on a

1 particular frame relay interconnection facility when it is initially turned up for
2 service.

3

4 *Issue 39: What are the appropriate charges for the following:*

5 *a) interconnection trunks between the parties' frame relay switches,*

6 *b) frame relay network-to-network interface ("NNI") ports,*

7 *c) permanent virtual circuit ("PVC") segments (i.e., Data Link Connection*
8 *Identifier ("DLCI") and Committed Information Rates ("CIR")), and*

9 *d) requests to change a PVC segment or PVC service order record?*

10

11 Q. WHAT IS BELLSOUTH'S POSITION ON PART A?

12

13 A. BellSouth's position is that the appropriate charges for frame relay
14 interconnection trunks are from BellSouth's Access Tariff because frame relay
15 is typically transporting interLATA traffic. Currently, charges for
16 interconnection trunks that carry typical voice grade traffic on an interLATA
17 basis are billed from the interstate access tariff, and there is no reason to treat
18 frame relay service any differently.

19

20 Q. WHAT IS BELLSOUTH'S POSITION ON PART B?

21

22 A. BellSouth's position is that the appropriate charges for the frame relay NNI
23 ports are from BellSouth's Access Tariff because frame relay is typically
24 transporting interLATA traffic.

25

1 Q. WHAT IS BELLSOUTH'S POSITION ON PART C?

2

3 A. The DLCI and the CIR are two components of frame relay that Intermedia
4 proposes BellSouth must provide on an unbundled basis. As I explained in my
5 discussion of Issue 18(c), BellSouth is not obligated to unbundle packet
6 switching, of which frame relay is a subset. Therefore, BellSouth's position is
7 that the appropriate charges for the DLCI and the CIR are found in BellSouth's
8 Interstate Access Tariff FCC No. 1.

9

10 Q. WHAT IS BELLSOUTH'S POSITION ON PART D?

11

12 A. Again, BellSouth's position is that the appropriate charges for all aspects of
13 Frame Relay Interconnection and Service, including changes to existing
14 service, are found in BellSouth's Interstate Access Tariff FCC No. 1.

15

16 *Issue 45: Should the interconnection agreement specifically state that the agreement*
17 *does not address or alter either party's provision of Exchange Access Frame Relay*
18 *Service or interLATA Frame Relay Service?*

19

20 Q. WHAT IS BELLSOUTH'S POSITION ON THIS ISSUE?

21

22 A. BellSouth has proposed the following language for inclusion in the
23 Interconnection Agreement:

24 Except as expressly provided herein, this Agreement does not address
25 or alter in any way either Party's provision of Exchange Access Frame

1 Relay Service or interLATA Frame Relay Service. All charges by each
 2 Party to the other for carriage of Exchange Access Frame Relay Service
 3 or interLATA Frame Relay Service are included in the BellSouth
 4 access tariff BellSouth Tariff FCC No. 1.

5 The purpose of this language is to make clear that the parties' obligations with
 6 respect to access service are not affected by this local interconnection
 7 agreement.

8
 9 ***Issue 46: Should Intermedia's obligation to identify and report quarterly to***
 10 ***BellSouth the PLCU of the Frame Relay facilities it uses cease when BellSouth***
 11 ***obtains authority to provide in-region interLATA service?***

12

13 Q. WHAT IS BELL SOUTH'S POSITION ON THIS ISSUE?

14

15 A. BellSouth's obtaining authority to provide in-region interLATA service would
 16 have no impact on Intermedia's obligation to identify and report to BellSouth
 17 the PLCU of the Frame Relay facilities it uses. As discussed earlier, the PLCU
 18 is used to report what portion of the interconnection trunk is transporting local
 19 versus interLATA traffic. This information is then used by BellSouth to
 20 reimburse, to the extent the trunk is being used to transport local frame relay
 21 traffic, a portion of the trunk charges to Intermedia. Regardless of the parties'
 22 positions on this issue, BellSouth has proposed the following language be
 23 included in the Frame Relay section of the Interconnection Agreement:

24 If during the term of this Agreement, BellSouth obtains authority to
 25 provide interLATA Frame Relay in any State, the Parties agree to

1 renegotiate this arrangement for the exchange of Frame Relay Service
2 Traffic within one hundred eighty (180) days of the date BellSouth
3 receives interLATA authority. In the event the Parties fail to
4 renegotiate this Section 8 within the one hundred eighty day period,
5 they will submit this matter to the appropriate State commission(s) for
6 resolution.

7 BellSouth believes that this language should resolve the situation addressed by
8 Issue 46.

9

10 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

11

12 A. Yes.

13

14 DOCs # 196847

15

16

17

18

19

20

21

22

23

24

25

1 MR. KITCHINGS: And with that, Mr. Varner is
2 available for questioning.

3 COMMISSIONER JACOBS: You may proceed.

4 MR. CANIS: Commissioner, as a point of order is
5 staff going to go first, or shall Intermedia go first?

6 COMMISSIONER JACOBS: Generally, the company
7 goes first and staff follows.

8 CROSS EXAMINATION

9 BY MR. CANIS:

10 Q Hi, Mr. Varner. I'm Jon Canis with Intermedia.
11 I would like to start by talking about some of the issues
12 involving BellSouth's proposed definition of local
13 traffic. And I actually -- let me refer you to Page 4 of
14 your direct testimony, and specifically Lines 13 through
15 21. Actually, I think we have two issues. The first one
16 I think we can resolve pretty quickly.

17 On Line 13, it states local traffic is -- or
18 this is BellSouth's proposal -- local traffic is defined
19 as any telephone call that originates in one exchange and
20 terminates in either the same exchange or another exchange
21 within the same local calling area. Are you aware that
22 Intermedia takes issue with the fact that the word
23 "telephone call" as part of that definition?

24 A Yes, I believe they do.

25 Q And let me just characterize what I believe

1 Intermedia's position is, is that telephone call sounds
2 like it means circuit switched voice call. And Intermedia
3 because it carries a lot of data, a lot of frame relay
4 traffic, wants to make sure we have a broad definition
5 that includes data traffic, such as frame relay as well as
6 circuit switched voice traffic. Is it BellSouth's
7 position that data traffic, including frame relay, can be
8 local service?

9 A Yes, it can be.

10 Q In light of that --

11 A If it fits the other criteria here that the
12 transmission, if you will, both originates and terminates
13 within the same local calling area.

14 Q Understood. Given that, can we agree to change
15 that word "telephone call" so that a more neutral term
16 that includes both data and voice telephony, can we call
17 that perhaps telecommunications?

18 A I'm not sure. The reason for that is that when
19 you say -- if you just put the word telecommunications in
20 there it may broaden it too far. I don't know what you
21 would include. The intent of this is to follow the
22 terminology that the FCC has typically used in defining
23 the types of traffic. And we want to be sure that it is
24 only covering telephone exchange service as defined in the
25 Act, and that is the terminology that is used. And the

1 FCC has been very clear that it doesn't have to terminate
2 in a telephone set in order to be considered telephone
3 exchange service.

4 Q Okay. Well, I just want to make sure that we
5 agree for the record. Let me restate this and please
6 correct me if I'm wrong. BellSouth agrees that data
7 traffic such as frame relay service, may be local traffic
8 if it meets the other criteria, it originates and
9 terminates in the same exchange or same local calling
10 area?

11 A Yes.

12 Q Thank you. Now, the other issue is something
13 that I think we are going to disagree on, and that is
14 whether traffic bound to an Internet service provider
15 falls within the definition of local traffic. In your
16 testimony here and throughout you rely very heavily on an
17 order by the Federal Communications Commission declaring
18 that dial-up traffic, when people use modems to call up
19 their ISP, that such traffic is jurisdictionally
20 interstate.

21 Are you aware that that order by the FCC has
22 been reversed and vacated by the D.C. Circuit Court of
23 Appeals and remanded back to the FCC?

24 A Yes, I am. However, in my testimony I think I
25 quoted from that order. However, that order did not make

1 any new findings. I also rely on the previous orders that
2 the FCC had issued on this subject, and also on an order
3 that they issued subsequent to the one that was vacated,
4 the one that was issued in late 1999 in the advanced
5 services docket. So all the findings that I am referring
6 to, even though I utilized that order, were previous
7 findings and subsequently reconfirmed by the FCC in other
8 orders, as well.

9 Q I'm sorry, I think you mentioned there was an
10 order subsequent to the order in January of '99. Did you
11 make reference to a subsequent order by the FCC?

12 A Yes.

13 Q Could you identify that, please?

14 A Yes, I believe I could. It is Order Number
15 99-413.

16 Q Could you read the caption?

17 A Yes. It is in the matter of deployment of wire
18 line services offering advanced telecommunications
19 capability.

20 Q Okay. And just so I understand, what is
21 BellSouth's position as to the significance of that order?

22 A The significance of that order is it is another
23 order where the FCC has stated its view that ISP-bound
24 traffic is not local. It is, in fact, exchange access.
25 In Paragraph 35, for example, they say, "We conclude that

1 service provided by the local exchange carrier to the ISP
2 is ordinarily exchange access service because it enables
3 the ISP to transport communications initiated by the end
4 user's subscriber."

5 Q Do you know what happens when a court of appeals
6 vacates a finding by the Federal Communications
7 Commission?

8 A Well, it kind of varies. But in this case what
9 has happened -- I guess generally if it is vacated it is
10 no longer in effect. It is as if it never existed.

11 Q Okay. If a court of appeals, as in this case,
12 vacates -- and I agree with your interpretation -- vacates
13 the Commission's January order so that its finding that
14 ISP traffic is interstate has no force and effect, do you
15 believe that the court action also casts doubt on the
16 effectiveness of other Commission decisions that have
17 reached similar conclusions?

18 A No. In fact, in the court's order it mentioned
19 that the FCC -- one of the things I disagreed with with
20 respect -- or had a problem with is that the February
21 order did not address, at least to the court's
22 satisfaction, the rationale for whether the service was
23 telephone exchange service or exchange access service.

24 It recognized that the FCC had, in fact, made
25 arguments to do that, but it just didn't include them in

1 the record in that proceeding, didn't include them in that
2 order. So the fact that it vacated that order doesn't
3 mean that it vacated other orders wherein the same
4 findings were made. And there are numerous ones in '83,
5 '87, '89, and the other one I talked about in '99, for
6 example, where they made the same findings and those
7 orders are still in effect.

8 Q Now, let's talk about the effect of the court of
9 appeals decision on some of the decisions that the Florida
10 Public Service Commission has made. Are you aware that on
11 July 23rd, 1998, the Florida Commission ordered BellSouth
12 to pay Intermedia reciprocal compensation for ISP-bound
13 traffic?

14 A Well, in part. They ordered it to be done up
15 until such time as the FCC issues a ruling. As a matter
16 of fact, no, they did not. What they said was that we
17 were to continue to operate under the current contract
18 until the FCC rules, and to continue to abide by whatever
19 those provisions were.

20 Q And are you aware that on September 15th, 1998,
21 this Commission issued a second order ordering BellSouth
22 to pay reciprocal compensation to Intermedia for ISP-bound
23 traffic?

24 A You say 1998?

25 Q I believe that is right.

1 A I'm not familiar with that order.

2 Q Yes. Order Number PSC-98-1216-FOF-TP issued
3 September 15th, 1998.

4 A I just don't recall it. There were some orders
5 in 1998, and this may very well be one of them, that dealt
6 with the interpretation of the existing contract between
7 various parties. But that was trying -- those issues
8 resulted from complaints about a contract interpretation.
9 Here what we are dealing with is what the contract should
10 say, not trying to interpret what a previous contract
11 might have said. I don't know whether that is one of
12 those orders or not, but that time frame indicates that's
13 probably what it is.

14 Q Now, to your knowledge has this Commission found
15 that ISP-bound traffic is local traffic for purposes of
16 reciprocal compensation under the Communications Act?

17 A I don't recall that they have. They have in
18 instances determined that ISP-bound traffic under the
19 terminology and the wording of the agreements that existed
20 at the time were to be treated as local traffic, that that
21 was the parties intent for that language when it was put
22 in. They have made that finding. Which is precisely why
23 we want to be sure that there is absolutely no doubt about
24 the status of that traffic in the agreement going forward.

25 Q Now, in your response to the question by

1 Commission Jacobs earlier, you confirmed that Internet
2 service providers don't pay access charges. Just to
3 confirm that, access charges are typically charges about a
4 penny and a penny and a half a minute that long distance
5 carriers pay, isn't that correct?

6 A Yes, those are the switched access charges,
7 typically. And ISPs don't get charged those because they
8 were exempted by the FCC from paying those. They still
9 receive access service. The service they get is still
10 access service, they just pay a different rate for it.
11 And the rate they pay by mandate of the FCC is the rate
12 for business local exchange service.

13 Q Because access charges don't apply, as a result
14 of that people don't pay on a per minute basis for the
15 time that they use the Internet, isn't that true?

16 A When you say people, I'm assuming you mean ISPs
17 as opposed to end users.

18 Q No, actually I mean end users. When I use
19 America Online I don't pay per minute for every minute
20 that I use the Internet.

21 A Actually, some ISPs do have usage-sensitive
22 Internet charges. The great majority of them, I think,
23 are flat rate. Many of them do have per minute.
24 Especially if, in fact, you have to dial an 800 number to
25 get to them, they will add a per minute charge. And then

1 some of them have a threshold type charge where they give
2 you so many hours at a set price and then you pay an
3 additional amount for hours over that threshold.

4 Q I think I heard you say that the great majority
5 of ISPs do not charge per minute or per time that people
6 are on the net?

7 A The ones that I am familiar with, that is
8 correct.

9 Q Does that include BellSouth.net?

10 A I'm not familiar with all of their offerings.
11 The one that I have is a flat rate unlimited use offering.
12 I don't recall whether they have other offerings that are
13 different from that.

14 Q Let me refer you to Page 8 of your direct
15 testimony, and I'm looking at Lines 6 and 7, where you
16 state that once it is understood that ISP-bound traffic
17 terminates only at distant websites which are almost never
18 in the same exchange as the end user, it is evident that
19 these calls are not local. And let me just put this in
20 context. Are you saying that if I'm on America Online and
21 I'm surfing the net, that if I call up one website --
22 let's say I want to check car prices, that website may
23 come out of a place in Detroit and so that is not a local
24 website, it makes my call a long distance transaction, is
25 that your point?

1 A Yes. And that is what the FCC confirmed in the
2 way that they defined it. Historically the way they have
3 defined it for at least the last 50 years.

4 Q Now, on Page 8, Line 7, you say, once it is
5 understood that ISP-bound traffic terminates only at
6 distant websites, which are almost never in the same
7 exchange as the end user. On what do you base that
8 statement?

9 A Well, on a number of things. Just looking at
10 the way that the Internet functions. Actually that
11 statement also comes from the FCC in the way that they
12 have defined this traffic. They say the same thing. And
13 just looking at the way that the Internet functions in
14 that when people call the Internet just like you
15 described, they pick up websites anywhere in the world.
16 The likelihood of them picking up a website that happens
17 to be located in the same exchange or same local calling
18 area where they are is relatively small.

19 Q Let me just give you an example. This is an
20 example of myself, and my office is in Washington, D.C.,
21 and most of the time that I am on the Internet I am
22 accessing the Federal Communications Commission's website,
23 which is also based in Washington, D.C.

24 And, you know, as with this Commission, they
25 post orders and rulings, and a lot of other information.

1 And I find maybe about 60 or 70 percent of the time that I
2 am on the Internet I'm accessing the FCC website. Is that
3 a local transaction?

4 A It depends on where you are located.

5 Q D.C. is 10 miles square. It is only one
6 exchange. My office is in D.C., the FCC is in D.C.

7 A Yes, that would be local. That would be an
8 instance wherein in you are actually getting local access
9 to a website.

10 Q And if I lived in downtown Tallahassee and
11 accessed the Florida PSC's website, would that be a local
12 transaction?

13 A Yes, it would be. Again, as the FCC when they
14 looked at this, they did not determine that each and every
15 transaction with the Internet or call to the Internet
16 would be local. However, if you were to look at the way
17 in which customers utilize it, they said it was
18 predominately or almost entirely non-local. So as a
19 result, they exerted jurisdiction over it as interstate.

20 However, that is not really the important point.
21 The important point is not whether it is interstate or
22 intrastate. The important point is whether it is access
23 service or whether it is, in fact, local exchange service.
24 Regardless of where it terminates, whether it terminates
25 within the exchange or not, it is still access service.

1 That doesn't make it local. That doesn't make it exchange
2 service, telephone exchange service. It is exchange
3 access.

4 Q Are you familiar with the term local caching?

5 A Yes.

6 Q Could you -- well, I'm sorry, before we do this
7 let me just clarify one other thing. You stated your
8 description of what is local when I am on the Internet and
9 what is not local. Let me make clear. Is that your
10 interpretation of what you believe the FCC said, or is
11 that based on any of your own knowledge, or your own
12 experience, or your own analysis of Internet usage?

13 A It is both.

14 Q Okay. Could you elaborate a little bit on your
15 own personal knowledge and experience of the Internet?

16 A Well, I use it all the time. You know, I
17 subscribe to an ISP and I use it for a number of different
18 things.

19 Q But you have not conducted studies of usage on
20 various networks or anything like that?

21 A Of my own. I mean, I am familiar with the way
22 in which I use it. And hardly ever do I end up accessing
23 somebody who is in the same exchange where I am. I'm not
24 even sure that anybody exists in my exchange that does
25 provide websites.

1 Q I'm sorry, are you finished?

2 A Yes.

3 Q Outside of your personal experience, though, you
4 have not conducted any studies, anything like that?

5 A With regard to the jurisdictional nature of this
6 traffic?

7 Q Or actual traffic usage and traffic patterns on
8 the Internet.

9 A No. No, I have not. I'm aware of some, but I
10 have not.

11 Q Let me just get back real quick to the issue of
12 local caching. You indicated you are familiar with it.
13 Can you tell me what you understand that term to mean?

14 A Generally it is a way that ISPs use to reduce
15 the amount of long-haul type access they have to do. They
16 will take information that is sort of maybe, frequently,
17 accessed, and they will store it in a server that is
18 closer to where the end user is so that when they access
19 it they actually don't go all the way to that website,
20 they just access the information at that server.

21 COMMISSIONER JABER: Mr. Canis, may I ask a
22 question here?

23 MR. CANIS: Sure.

24 COMMISSIONER JABER: Before you leave this
25 point. Mr. Varner, in response to Mr. Canis' question

1 about the scenarios, the hypotheticals, let me go back to
2 the Tallahassee scenario. If I am accessing the PSC home
3 page, you agree that that is accessing the local exchange
4 system? Did I hear you correctly?

5 THE WITNESS: No, that would be a local -- let's
6 say a local call to the Internet, if you will. But under
7 no circumstances is the traffic that is sent to an ISP
8 exchange service. It is access service, even though it
9 may terminate locally, which is fairly rare. But even if
10 it does, it is still access service. And that is the
11 important point. Because reciprocal compensation only
12 applies to telephone exchange service, it doesn't apply to
13 access service.

14 COMMISSIONER JABER: Reciprocal compensation
15 applies to local exchange service?

16 THE WITNESS: Local exchange service, not
17 exchange access service.

18 COMMISSIONER JABER: Okay. How would we get
19 local exchange service, what scenario in your mind, tell
20 me in your mind what would result in local exchange
21 service?

22 THE WITNESS: The typical call you would make to
23 another end user that is located in your same local
24 calling area. And it doesn't have to just be voice
25 transaction, it could be a fax. You sent a fax here in

1 Tallahassee, that would be local exchange service. You
2 call a car dealership, or the power company, or a friend,
3 relative that lives in the Tallahassee local calling area.

4 COMMISSIONER JABER: All right. But the
5 distinction in your mind is that an Internet call is one
6 of access?

7 THE WITNESS: Yes, it is. Because the FCC has
8 defined the ISPs to be users of access service, which
9 means that they are treated as far as the FCC -- for this
10 purpose, as far as the FCC is concerned, just like an
11 interexchange carrier. They purchase access service from
12 the local exchange customer -- from the local exchange
13 company. The end user isn't billed for that, the carrier,
14 if you will, being the ISP, in this case is. They are the
15 ones that have the relationship and the billing
16 relationship with the local exchange company.

17 COMMISSIONER JABER: Let's go back to the fact
18 scenario. What is the difference between my faxing
19 something from my house to the office and my getting on
20 America Online from my house to access the Tallahassee
21 Democrat on-line? Aren't those both local calls?

22 THE WITNESS: One is, in fact, a local call.
23 The other one is -- the other one would be a local access
24 to the Internet. And the difference between the two is
25 that by going through that ISP, what you done is you have

1 inserted an intermediate carrier. And as a result of
2 that, the ISP is the person that is responsible for paying
3 for you collecting that traffic from your office to them.
4 So when you do that, you have inserted an intermediate
5 carrier between you and, let's say, that website that you
6 are trying to get to.

7 And the important point is that in that instance it is
8 that carrier that has a relationship with the local
9 exchange company. That is access service, reciprocal
10 compensation doesn't apply to that type of service.

11 COMMISSIONER JACOBS: But doesn't that add to
12 the -- I'm sorry to cut you off, Commissioner -- but
13 doesn't that add to the rationale that it is not an
14 interLATA call. Because at the point where you do -- you
15 do deliver that to the ALEC that is serving the ISP, okay,
16 at that moment things begin to happen to that call that
17 transform its nature.

18 And so isn't that some way adding to the idea that the
19 original -- the original telecommunications transaction
20 was the call that went from the originating customer to
21 the ALEC?

22 THE WITNESS: No. Because what happens is the
23 nature of that transaction is access from the beginning.
24 What happens is that when you call that number to get to
25 the ISP, you dial that one number. It's the ISP's number.

1 And whether that call goes through -- I don't know,
2 entirely by BellSouth or goes through the ALEC, there is
3 no separate number. You don't make a call to the ALEC and
4 then the ALEC makes a call to the ISP. The end user just
5 dials up the number for the ISP, regardless of whether
6 there happens to be two local exchange companies involved
7 or one. So there is not sort of a demarcation or an
8 ending and then a restarting, if you will.

9 COMMISSIONER JABER: Give me an example of when
10 reciprocal compensation would apply in your mind. And try
11 to keep it close to the hypothetical we are asking you
12 about.

13 THE WITNESS: Okay. Reciprocal compensation
14 would apply for any of those situations that I described
15 that were local calls. And I can't remember the first
16 example that you used where you made the call from.

17 COMMISSIONER JABER: My house using America
18 Online service to reach the Tallahassee Democrat on-line.

19 THE WITNESS: Okay. No, in that case -- there
20 was another one where you --

21 COMMISSIONER JABER: Faxing from the house to
22 the office.

23 THE WITNESS: Yes, to the office. In that case,
24 let's say you are sending the call from your house to the
25 office. Let's assume that the office was served by an

1 ALEC, okay. When you sent that call from your house to
2 the office, reciprocal compensation would be due the ALEC
3 for that call because they are providing the service to
4 the office.

5 And the reason for that is that local exchange service is
6 predominantly flat-rated service. If when you make that
7 call you paid Sprint, you know, your local bill. The
8 ALEC incurs costs in sending that call to the office.
9 They have got nobody to bill. You know, they are not
10 going to send you a bill for that call. The only person
11 you are going to pay is Sprint, but the ALEC incurred a
12 cost. So Sprint settles up with the ALEC to reimburse
13 them for the costs that they have incurred in handling
14 that call.

15 On that call that goes from the ISP to the Tallahassee
16 Democrat, actually what has happened is that the ISP, if
17 they are served by an ALEC, is paying the ALEC. The ALEC
18 is the one that is collecting all the money. Sprint is
19 not collecting anything from you for that call, because
20 it is access service. So the only person who gets money
21 for that is the person who is providing the access
22 service, which in that case is the ALEC. So by right,
23 the ALEC should be paying Sprint in that example as
24 opposed to Sprint paying the ALEC more money over and
25 above what they are already getting from the ISP.

1 MR. CANIS: Thanks, Commissioners. And I
2 thought that was a very helpful discussion. I won't go
3 much further on that, but I just wanted to clarify one
4 thing, Mr. Varner.

5 BY MR. CANIS:

6 Q In terms of -- back to the example. I'm dialing
7 up America Online and then I'm surfing the net and going
8 to various websites, some are local, some are long
9 distance. Isn't it true that there are two components to
10 that transaction? When I dial up I use my phone through a
11 modem, I dial it up from my house. Isn't that a telephony
12 call; isn't that a circuit switched call that looks like a
13 regular local phone call; and aren't I currently -- don't
14 I pay for that out of my local phone usage? And then once
15 it gets to the Internet service provider, doesn't the
16 Internet service provider then take that call, do Internet
17 protocol conversion, pass it through its router and then
18 on over to the worldwide web. Isn't that a separate
19 transaction which is not telephony, but, in fact, is
20 defined under the Communications Act as information
21 service, an enhanced service? Aren't there two different
22 things going on here?

23 A No. In fact, that sort of scenario, I guess,
24 has been commonly called a two-call model, which the FCC
25 has rejected every time it has looked at it. It rejected

1 that first back in 1944. And every time they have looked
2 at it since including '83, '87, '89, and '99 they have
3 rejected that model, that you don't divide up a
4 transmission based on intermediate points, that is it the
5 end points that define it.

6 Another thing that just occurred to me in the
7 examples we were talking about, like in your accessing the
8 FCC website and Ms. Jaber's access to the Tallahassee
9 Democrat, what matters is where that website is. Just
10 because it is the Tallahassee Democrat doesn't mean that
11 that website is located in Tallahassee. That website
12 could be in New York. They could be paying somebody in
13 New York to maintain their website for them. And even
14 though you are getting the Tallahassee Democrat, you are
15 actually going to New York to get it. And it could be the
16 same thing with the FCC. Just because it is a local
17 concern that is labeled on it doesn't mean that that is
18 where the transmission is, in fact, ending up at that
19 place.

20 Q Let me go back and talk to you about your
21 interpretation of what the FCC said. And, of course,
22 under the understanding that this is the order that has
23 been vacated by the D.C. Circuit. Well, let me start by
24 asking you this. Internet service, when I am surfing on
25 the Internet, is that telephony service, is that a

1 regulated telephone service?

2 A The exchange access service is.

3 Q No. I mean, when I am surfing the net, when an
4 Internet service providers take the signals from my
5 computer and then sends them out over to the worldwide
6 web, and I'm not addressing telephone numbers anymore, I'm
7 addressing URL website things, and it is all Internet
8 protocol. Is that a regulated telecom service, or is that
9 an enhanced unregulated information service?

10 A It is the latter. The exchange access service,
11 however, that is provided to that ISP to enable the ISP to
12 provide that enhanced service is, in fact, a regulated
13 telecommunications service.

14 Q So, in other words, when I use my BellSouth
15 local service to access BellSouth.net as my Internet
16 service provider, there are two different things going on
17 here, right? Isn't BellSouth carrying my telephone call
18 which comes from my phone and it is a regulated service to
19 the Internet service provider, that is to BellSouth.net,
20 and then doesn't BellSouth.net take those signals and send
21 them out over the worldwide web, and it does that as an
22 unregulated Internet carrier doing an enhanced service,
23 isn't that the case?

24 A Not entirely.

25 Q Could you explain that?

1 A Yes. The latter part of the way you described
2 the information service is correct. But you began by
3 saying that you were using your local exchange service to
4 access BellSouth.net, that is not what you are doing in no
5 more than you are using your local exchange service to
6 access AT&T when you make a long distance call. When you
7 make that call to establish that website, you first
8 contact the ISP, make the connection through the ISP.

9 At that point what you are doing for that
10 service, you are not using your local exchange service,
11 you are using exchange access service that has been
12 provided to the ISP by the local exchange company to allow
13 that ISP to collect traffic, to allow you to make that
14 connection to them. Just like if you make a long distance
15 call through AT&T, AT&T uses exchange access service
16 provided by the local exchange company to allow you to
17 connect to their POP so you can make a long distance call.

18 So you are not using your local exchange
19 service, you are using exchange access service that the
20 ISP has purchased. And if that ISP is served by
21 Intermedia, they purchased that exchange access service
22 from Intermedia.

23 Q Okay. Well, when I make a long distance call
24 using AT&T, I pay as part of that access charges which is
25 why I pay AT&T per minute for every time that I am making

1 a long distance call. But when I am dialing up
2 BellSouth.net, the only charge that I pay is my local
3 phone bill that I pay to BellSouth.

4 A You pay your local phone bill in both cases.
5 You don't pay access charges when you make that connection
6 through AT&T. AT&T pays access charges to the carrier,
7 you pay AT&T a long distance bill. The same thing works
8 with the ISPs. The ISP pays a basic exchange rate as
9 their price for access to the local exchange company, the
10 ISP, in turn, turns around and charges you a bill for
11 access to the Internet, whatever the Internet access
12 charge is that they have.

13 Q I just want to go back just one more time. The
14 FCC's order -- and, again, this is the order that has been
15 remanded and reversed. But that order -- did the FCC in
16 that order recognize that a call to an ISP and an Internet
17 surfing session afterwards consists of two segments, a
18 regulated telephony segment and an unregulated Internet
19 enhanced service segment?

20 A No, no. What they recognized is that the call,
21 the total transmission is an information service. And
22 included in that information service are a group, the
23 thing that is an information service is the access to the
24 website provided by the ISP which is nonregulated. That
25 is non-regulated. However, the ability to access that is

1 exchange access service. That is why the connection from
2 the end user to the ISP is considered exchange access
3 service because the ISP is treated as a carrier, or an
4 enhanced service provider that is providing an information
5 service.

6 Consequently, the link from the end user to that
7 ISP is considered exchange access service instead of
8 exchange service. Again, and that is not just the finding
9 of the order that was vacated, that is a finding that has
10 been made in several orders.

11 Q Has this Commission found in the past that when
12 I dial up an Internet service provider and then surf the
13 web that transaction has two different components, a
14 telephone, a telephony segment, which is a regulated
15 segment, and an information enhanced service segment, the
16 Internet segment, which is unregulated?

17 A I believe this Commission did apply the two-call
18 model, as you described it. However, as you well know,
19 the FCC confirmed and has confirmed several times that
20 that is not the proper model to apply to this. That it is
21 a single transmission from the end user to wherever the
22 website is located. I believe this Commission did, in
23 fact, use the two-call model at one time. But the FCC has
24 numerous times said that that model is not the proper
25 model to apply to these calls.

1 Q All right. Well, let me ask you a hypothetical
2 and then I will finish this line of questions. Let's
3 assume that six months from now the FCC comes out with an
4 order on remand. And it does what the D.C. Circuit told
5 it do. It comes out with an order gives a further
6 explanation of its position on reciprocal compensation,
7 and it finds that ISP-bound traffic, dial-up traffic is
8 fully subject to reciprocal compensation, and that
9 BellSouth, or all incumbent LECs need to pay that. Will
10 BellSouth, if the FCC does come out with an order like
11 that, will BellSouth immediately abide by that order?

12 A You are asking me to speculate on something. We
13 will abide by any effective order that a Commission
14 issues. So if they issue an order and it becomes
15 effective, yes, we will abide by it.

16 Q Will BellSouth -- because I know we have done a
17 little back and forth about this overtime. Is BellSouth's
18 current position that it is obligated to abide by orders
19 that are currently effective, or is its position that it
20 is obligated to abide by orders that are final and
21 nonappealable?

22 A We have to abide by any effective order.

23 Q Thank you.

24 A That doesn't mean we won't appeal it, but if it
25 is in effect we'll abide by it.

1 Q Understood. I would like to talk now about not
2 ISP recip comp, but recip comp in general. And when
3 BellSouth is obligated to pay reciprocal compensation to
4 Intermedia, what rate must it pay. Does it pay a lower
5 rate, typically called the end office rate, or does it pay
6 a higher rate, typically called the tandem rate. I take
7 it that it is BellSouth's position that the lower end
8 office rate applies, is that correct?

9 A No, that is not entirely correct.

10 Q Okay.

11 A There is no end office rate or tandem rate,
12 per se. There are rates for reciprocal compensation to
13 compensate the carriers for the functions they provide. If
14 Intermedia only provides end office switching, then they
15 would be entitled to only be compensated for end office
16 switching. If they are providing completion of those calls
17 on a tandem switch basis, they will be entitled to tandem
18 switching, end office switching, and transport, just like
19 BellSouth. So our position is simply that Intermedia should
20 be compensated for only the functions it performs.

21 Q Do you know what kind of switches Intermedia
22 deploys in its network?

23 A Just from what was filed in Mr. Jackson's
24 testimony.

25 Q Well, what does that mean?

1 A There were some DMS -- I can't remember, I think
2 it was 250 or 500 switches, if I remember correctly.

3 Q Are you aware -- and I believe you are correct,
4 that Intermedia uses both, but its big switches are the
5 DMS 500s. Are you aware that the technical specs by DMS
6 in the DMS switch identified the switch as functioning as
7 both as an end office switch and a tandem switch?

8 A No, I'm not. It identifies the switch as being
9 capable of functioning both as an end office switch and as
10 a tandem switch. However, what the switch actually does
11 and how it actually functions is up to the purchaser of
12 the switch and how they configure it when they install it.

13 And in the case of Intermedia, their switch
14 can't be performing a local tandem because they have only
15 got one in each local calling area, at least from the
16 testimony of Mr. Jackson. They have got a switch in, if I
17 remember, Jacksonville, Orlando, Miami, and Tampa. There
18 is no way they could be performing a tandem function if
19 they only have one switch in the local calling area.

20 Q Now, I would like to elaborate a little bit with
21 you on that. What we talked about, how these switches are
22 configured, and if you said it only has one switch in a
23 local area, what is your concern there? Is your concern
24 that the switch doesn't have loops on one side, trunks on
25 the other side; is it a configuration issue; is it how

1 Intermedia structures its network? What is the concern
2 that leads you to conclude that even though the DMS 500 is
3 capable of doing local and long distance switching it, in
4 fact, is only acting as a local switch?

5 A I'm not -- that is not the conclusion I'm
6 reaching. I don't know -- I assume that it is a long
7 distance switch as well as a local switch. But the issue
8 here has nothing to do with long distance. What it does
9 for long distance is irrelevant. What we are looking at
10 here is whether or not they are providing a local tandem
11 function; that is, are they taking local calls and
12 providing a tandem function on those local calls.

13 So if they only have one switch in the local
14 calling area, then they can't be doing that. And my
15 concern is that Intermedia is asking BellSouth to pay them
16 reciprocal compensation as if they were performing that
17 tandem function on local calls when they are not. And we
18 shouldn't be required to pay Intermedia for a function it
19 is not performing.

20 Q I have just been informed by my colleague that
21 Intermedia, in fact, maintains two DMS 500 switches in
22 Orlando. Does this cause BellSouth then to change its
23 position and to find that at least in the Orlando area
24 Intermedia is due compensation at the tandem rate?

25 A No, it does not. What would have to happen is

1 that if Intermedia is, in fact, handling traffic on a
2 tandem basis in the Orlando area, then yes. The reason I
3 brought up the fact that the issue of the one local switch
4 in each local calling area is if that is all you have, the
5 answer is very obvious. It is impossible to be doing
6 tandem switching. Now if you have more than one switch it
7 is possible that you could, but that doesn't mean that
8 you, in fact, are.

9 And typically we have numerous local calling
10 areas where we have more than one switch, but we don't
11 have local tandem switching because it is just not
12 economical to handle the traffic that way. We typically
13 have local tandems in very, very large calling areas where
14 we have many switches.

15 Q Now, in the way that BellSouth configures its
16 network, doesn't it generally have local switches in end
17 offices that are close to the end users and they feed
18 loops to individual end users, and then tandem switches at
19 separate offices that are used to aggregate traffic from
20 all the different end offices?

21 A Separate switches. Sometimes they are in the
22 same building, you know, as an end office switch. But it
23 is a separate switch that aggregates traffic from a
24 number of end office switches, that is what the tandem
25 does.

1 Q Let me give you a hypothetical. Let's just say
2 that Commissioner Jaber is an end office switch, and that
3 from her it runs out a little loop and it serves the end
4 user which is over there at the staff bench. Let's say
5 that Commissioner Jaber's chair is an end office. Let's
6 say Commission Jacobs is a tandem switch and that his
7 chair is a tandem office.

8 Now, under that situation, is it BellSouth's
9 position that that scenario and traffic that goes over
10 this arrangement is subject to the higher tandem recip
11 comp rate?

12 A Well, you've kind of got an incomplete scenario,
13 but what would have to happen is from -- if Commissioner
14 Jacobs' chair is a tandem, there would have to be another
15 switch, another end office switch somewhere where to call,
16 and the end user, let's say, it is back out here. If that
17 is the scenario that is used in the call then, yes, tandem
18 switching is provided and BellSouth would be willing to
19 compensate for the tandem switching and the transport from
20 Commissioner Jaber to Commissioner Jacobs to -- let's say
21 where you are sitting is the other switch.

22 Q Okay. And let's do that -- let's put me into
23 the equation here. I am another end office switch. My
24 chair here is another end office. So Commissioner Jacobs
25 is aggregating traffic as the tandem from myself and

1 Commissioner Jaber, right?

2 A Yes, he is aggregating. But more importantly,
3 and this is the distinction, the important distinction.
4 When you have that scenario, the tandem is connecting one
5 switch to another switch. It is connecting trunks from a
6 switch to trunks to another switch, and that is sort of
7 the defining function of a tandem to do that.

8 The only reason you do that is because of the
9 fact that you have so many switches that it is more
10 economical to run those through a tandem switch than it is
11 to have direct trunking from, let's say, your chair to
12 Commissioner Jaber's chair. When you have a large number
13 of switches, instead of having direct trunks from each one
14 of those switches to each other, you take them and divide
15 them up and you say, okay, for calls from, let's say, this
16 half of the area to this half of the area, I'm not going
17 to run direct trunks from all of the switches on, let's
18 say, the north side of town to all the switches on the
19 south side of town. I will take all of the traffic that
20 is destined for the south side of town, run them through a
21 switch, and just have one trunk group that goes to the
22 tandem switch on the south side of town and runs the
23 traffic out to them. It is a transport.

24 Actually tandem switching, even though it is a
25 switch, is transport. It is a means of transporting

1 traffic. It is a substitute for having direct trunks from
2 all of those, between all of those wire centers.

3 Q Now, by the way, when you talked about that, the
4 direct trunking and the big number of switches and all of
5 that, you are talking about BellSouth and how BellSouth
6 configures its network, isn't that right?

7 A No, that is the economics that would work for
8 any network.

9 Q Do you know any ALEC that has the same number of
10 switches that BellSouth has?

11 A No, I don't.

12 Q Now, that was scenario number one. Let me
13 continue with my hypothetical and talk about scenario
14 number two. Let's say, that Commissioner Jaber moves over
15 and sits right next to Commissioner Jacobs, I move over, I
16 sit right next to the two of them. So we have still got
17 an end office over here, but it doesn't have a switch. We
18 have still got an end office over here, but it doesn't
19 have a switch. What happens is all the local and tandem
20 switching functions are aggregated in one space around the
21 tandem office. So there I'm still performing my local
22 switching functionality, except I'm doing it in the tandem
23 office right next to the tandem switch. The same with
24 this end office switch.

25 Instead of doing the switching in the end office

1 there and this end office here, what we have is just a
2 multiplexer. I'm collocated. I put in a multiplexer.
3 I'm buying loops from BellSouth. I'm taking that traffic
4 and I'm routing it to one point, one tandem office where
5 all of my switching takes place at once. Local and long
6 distance, end office and tandem switching, all in the same
7 functionality. In this scenario, don't I still perform
8 the same functions as those three independent switches
9 individually?

10 A I need to make sure I understand the scenario,
11 because it sounds like you changed it. You have got two
12 different scenarios combined here. If the scenario is
13 that you still have these two end office switches that we
14 had earlier, you have just now changed the location of
15 them such that they are, you know, all in the same
16 building, let's say, okay. Then in that case, then you
17 are still performing the tandem function, there is still
18 transport, and you would be entitled to it.

19 But it sounds like what you were saying is that
20 what you have done is -- but the important thing there is
21 you have still got the three switches, even though they
22 happen to all be in the same building.

23 COMMISSIONER JACOBS: If this is an okay
24 breaking point, the court reporter has been going for a
25 good while. We will take a ten-minute break and we will

1 come back at -- well, I guess according to that clock a
2 little bit longer, but we will come back at 11:00.

3 (Brief recess.)

4 COMMISSIONER JACOBS: Go back on the record.

5 BY MR. CANIS:

6 Q Mr. Varner, just to wrap up real quickly on our
7 last item of discussion. Let me categorize and please
8 tell me if I'm incorrect, but I believe you stated that if
9 the scenario where we had three different switches and two
10 different end offices and a tandem office, if we pushed
11 all of those three switches into the same building, that
12 we would still be providing local and tandem functionality
13 and that it would -- in that case it would be appropriate
14 for us to claim the higher tandem reciprocal compensation
15 rate. Is that a fair characterization?

16 A Almost. The reason -- and, again, what we are
17 talking about here is reciprocal compensation rates for
18 the functions. There is a rate for tandem switching, a
19 rate for end office switching, a rate for transport. If,
20 in fact, all three of those switches happened to be
21 located in the same building, then all the elements would
22 apply. And I'm not sure how much transport there would
23 be, because if they are all in the same building, I don't
24 think there is any transport. But you would have tandem
25 switching, you would have end office switching.

1 However, that is not the scenario that we are
2 facing. When you gave me the example, what you described
3 is the scenario which is what Intermedia has, is that they
4 have multiplexing at some place, no switching. They only
5 have one switch. They don't have three. So they have
6 multiplexing here, it comes into the switch, and then it
7 goes back out from the switch to another multiplexing
8 location.

9 In that case there is only one switching
10 function being performed, and that is an end office
11 switching function. Because when you only have the one
12 switch and you are connecting one line to another line, or
13 connecting one line to a trunk, that is what an end office
14 does. There is no tandem switching involved in that
15 situation.

16 Q And, I guess, going back to the first scenario
17 where you questioned whether there was transport, well,
18 remember we still have our connection from the multiplexer
19 and the end offices, so that traffic is being hauled to
20 the tandem. So would you agree that transport would be
21 involved there?

22 A That is not transport. All that is a long loop,
23 if you will. The analogous situation to that is that, for
24 example, BellSouth puts remote terminals out in the field
25 to aggregate loops onto bigger facilities to get them to

1 its switch. That doesn't make that remote terminal a
2 switch, all it is is a multiplexer.

3 What Intermedia has done is gotten collocation
4 space in BellSouth's end offices to put its multiplexing
5 equipment. It is just doing the same type thing that we
6 do out in the field, they are just using our end office
7 the same way that we use a remote terminal.

8 Q And I guess -- let me just clarify. When I am
9 buying a loop, and, again, the loop would be going from
10 Commissioner Jaber's end office to the staff, which is the
11 end user, I am buying that loop at a flat, what, \$17,
12 something like that a month. The transport that I am
13 buying from Commissioner Jaber's end office to
14 Commissioner Jacobs' tandem office, that I am buying as an
15 interoffice transport UNE which is priced on a per mile
16 basis, is that correct?

17 A That's correct. But, see, that assumes that you
18 have both of the switches. If, in fact, you wanted to
19 provide a loop that went from where Commissioner Jacobs is
20 all the way over to the staff, you could buy the
21 facilities to do that, which is more like the situation
22 that Intermedia has.

23 Q Okay. So when Alcatel comes out and says ALECs,
24 we have got a major advancement in technology, rather than
25 having you go out and buy a big old end office switch and

1 a big old tandem switch, we are going to give you a
2 smaller, smarter scalable product that combines the
3 functionality of both into one. Or when Lucent comes out
4 with its Class 5 port ESS that does exactly the same
5 thing, you are telling me that because those functions are
6 put into one machine instead of being in two different or
7 three different machines, that ALECs that use those
8 machines can never get the higher tandem recip comp rate?

9 A No, that is not correct at all. And, again, you
10 have combined two scenarios here. If Alcatel comes out
11 with a switch that says, okay, you can do end office
12 switching and tandem switching in the same switch; if
13 Intermedia is, in fact, doing that, is, in fact, utilizing
14 that switch to provide tandem switching, then, yes,
15 Intermedia would be entitled to the tandem switching rate.
16 But just because the switch is capable of doing that
17 doesn't mean that Intermedia is making use of that
18 function and is, in fact, providing that function.

19 Now, the second scenario you describe, the
20 Lucent Class 5/Class 4, is really irrelevant. And, in
21 fact, throughout Mr. Jackson's testimony when he talks
22 about their switches performing tandem functions, he is
23 talking about toll tandems.

24 COMMISSIONER JABER: Mr. Varner, do you know for
25 a fact whether Intermedia uses those functions or not?

1 THE WITNESS: They can't be. Because in order
2 to be providing local tandem switching, you have to have
3 at least two switches in the local calling area. And if
4 you only have one, it is not possible. Now, he has just
5 informed me that they did have two in Orlando. In that
6 case, you just have to look at the switches to determine.
7 But typically if you only have two switches you don't do
8 local tandem switching. Now, these switches that they
9 have do toll tandem switching, but that is irrelevant.
10 Because what we are looking at is what reciprocal
11 compensation should apply on local calls, not long
12 distance calls.
13 So the fact that they toll calls or long distance calls
14 on a tandem basis has no bearing on whether they should
15 get tandem switching reciprocal compensation for handling
16 local traffic. And if you have only got the one switch
17 in the local calling area, it is impossible. If you have
18 got two, it is possible, but highly, highly unlikely. I
19 know of no situation. Well, there is no situation where
20 we have only have two switches and one of them functions
21 as a local tandem because it is just not economical to do
22 it that way.

23 BY MR. CANIS:

24 Q Mr. Varner, are you aware that Intermedia is a
25 full service carrier that provides local telephone

1 service, intrastate toll, and long distance service?

2 A Yes.

3 Q Now, we talked about functionality, and I think
4 you can tell from my line of questioning and from Mr.
5 Jackson's testimony, Intermedia is confident that it
6 functions as both a local as well as a tandem switch.
7 But, isn't the bottom line of all of this that under
8 Section 51.711(a)(3) of the FCC's rules there is really
9 only one determinative test for a finding whether a
10 carrier gets paid at the higher tandem rate, and that is
11 whether the ALEC serves, quote, a geographic area
12 comparable to the area served by the incumbent LEC's
13 tandem switch. Isn't that the case?

14 A No, that is not correct. I think the way the
15 rule reads, it says that the ALEC's switch serves an area
16 comparable. And when you look at the language, or I guess
17 the part of the order that describes that rule, what you
18 find there is that when they say switch, they are talking
19 about a switch that provides the function.

20 And, in fact, the Illinois court in a case
21 involving MCI specifically described the test that the FCC
22 applied under that rule as a functionality and geography
23 test. So they view -- and their understanding of the
24 FCC's order is the same as mine. The switch that they are
25 referring to refers to a switch that performs the

1 function. And if you have a switch that performs that
2 function, then you have to be serving an area that is
3 comparable to the area that BellSouth's tandem serves. So
4 just serving the area is not sufficient.

5 Q Mr. Varner, are you aware that about a month
6 ago, on March 15th of this year, this Commission ruled in
7 a case involving ITC/DeltaCom that DeltaCom was entitled
8 to a tandem reciprocal compensation rate?

9 A Yes. My understanding of that case, though, to
10 the extent that DeltaCom was performing the function they
11 would be entitled to that rate. It was not they were
12 entitled to it regardless of whether they were performing
13 the function or not.

14 Q Do you agree that ITC/DeltaCom served --
15 performed the function of a tandem switch?

16 A No, they did not. And in that case they would
17 not be able to get that rate. It presents a bit of a
18 problem with the way the rates were established in that
19 docket, which will be addressed by the Commission on a
20 later day.

21 Q Are you aware that Intermedia is the largest
22 ALEC in Florida?

23 A I don't know.

24 Q Do you know of any larger one in Florida?

25 A I don't know the relative size of the ones

1 operating in Florida.

2 Q Okay. If Intermedia under your interpretation
3 is not subject to the tandem rate, can you name any ALEC
4 in this state that is eligible for the tandem rate?

5 A I don't know. I mean, it is very simple. If
6 the ALEC is performing the tandem switching function they
7 are entitled to be compensated for it and we will do it.
8 I haven't looked at, you know, all of their serving
9 arrangements to see if, in fact, any of them do. If they
10 do, however, then they are entitled to compensation for
11 that function.

12 Q But is it possible that under the rule that you
13 just enunciated and that BellSouth has proposed that under
14 those standards that you were proposing no ALEC will ever
15 qualify for tandem recip comp in Florida?

16 A No, I can't say that. I mean, if, in fact, they
17 perform the function, they they would be entitled to it.
18 If they don't, then they won't.

19 Q And you cannot identify at this time any ALEC
20 that is performing the function under your interpretation?

21 A No, I cannot, nor can I say that none of them
22 do. It is simply a matter of whether or not they are
23 providing that function. Which is -- and the only reason
24 for that is they are supposed to be being compensated for
25 the cost that they are incurring to transport and

1 terminate staff traffic as defined by the FCC. If they
2 are not performing that function, they are not entitled to
3 be compensated for something they are not doing.

4 Q Okay. I would like to turn the discussion now
5 to EELs, or enhanced extended links. And I'm looking at
6 Pages 25 through 27 of your direct testimony.

7 COMMISSIONER JACOBS: Before you do that, rather
8 than provide a tandem rate, you are suggesting elemental
9 rate structure that is a composite, and I wasn't quite
10 sure what that would entail. So if you were to go to the
11 local reciprocal comp calculation, how would we derive
12 this particular element?

13 THE WITNESS: If you wanted to do a composite?

14 COMMISSIONER JACOBS: Yes.

15 THE WITNESS: Well, I would think that the
16 cleanest way to do it would be to not do that. The
17 Commission has already established rates for reciprocal
18 comp, separate rates for end office switching, tandem
19 switching, and transport. And I would suggest you just
20 use those. And in the cases where tandem switching is
21 being provided, then we would pay the tandem switching and
22 transport in addition to the end office. Where it is not
23 being provided, then we would just pay the end office.
24 But it would be the rates the Commission approved back in
25 the AT&T arbitration, I think is when they were approved,

1 and they are being readdressed in the upcoming cost
2 docket.

3 If you wanted to do a composite rate, then what you have
4 to do there is go in and say, okay, what proportion of
5 the traffic that they handle -- you have to do some sort
6 of a traffic estimate. And let's say if 10 percent of
7 the traffic that they handle is handled on a tandem
8 basis, you would say, okay, for 90 percent of the
9 traffic, it is end office, whatever that rate is. And
10 then say for 10 percent of the traffic, you add in the
11 other two elements and you come up with a composite that
12 is weighted 90 percent one way, 10 percent the other way.
13 Which is more complicated to do. And that changes from
14 month-to-month. So I think the cleanest way to do it is
15 just apply the elemental rates the Commission has already
16 approved and not worry about all that.

17 COMMISSIONER JACOBS: I'm sorry, that was your
18 testimony. I flipped it around on you, but to be clear
19 your testimony does say you prefer the elemental rate
20 structure rather than the composite.

21 THE WITNESS: Yes. Because the composite really
22 gets a lot more complicated. And it is, I think, an
23 unnecessary complication since the Commission already has
24 elemental rates in place. You just apply those and you
25 don't have to get into this business of trying to do

1 traffic studies and weight one versus the other in order
2 to figure out what a composite rate would be.

3 COMMISSIONER JACOBS: Okay. Thank you.

4 BY MR. CANIS:

5 Q Actually, Mr. Varner, before we proceed to EELs,
6 let me do just one quick follow-up on geographic coverage.
7 Is it BellSouth's position that Intermedia does not --
8 Intermedia switches do not serve the same geographic area
9 as BellSouth switches and, therefore, do not merit the
10 tandem rate?

11 A No, that is not really our position. What our
12 position is is that Intermedia has provided no evidence
13 that would enable you to conclude that they are doing
14 that. The information that Intermedia has provided
15 doesn't allow you to determine one way or another.

16 Q Now, Intermedia has provided maps of the service
17 areas that it covers, is that true?

18 A Yes, they provided maps of the service area.
19 But those maps do not indicate what service they are
20 actually providing. They are just -- they said, okay,
21 these are the maps of our service territory, this is what
22 we -- where we say we offer service. But there is nothing
23 in there that says what service they are providing and
24 whether they are actually providing service in an area
25 that is comparable to our tandem, which is an important

1 point that the Illinois court relied upon with MCI. You
2 see, MCI could be. But the evidence that they provided
3 doesn't allow you to indicate that. And it is the same
4 type of evidence that Intermedia has provided in this
5 case.

6 Q Well, doesn't Intermedia's tariff identify the
7 services that it provides in this state?

8 A It provides -- it says the services that it
9 offers. But, again, to make this determination, you have
10 to know what service they are actually providing. Are
11 they actually providing service, not whether they are
12 capable of, or they hold themselves out to, but are they,
13 in fact, doing it. And that is what you can't tell from
14 the information that they have provided.

15 Q And for the test that you are proposing, how
16 many customers does Intermedia have to serve in the area?

17 A I wouldn't know. I don't think there is a
18 specific customer count or bogey, if you will, that says
19 that that is it. It is a matter of are they providing
20 service to customers, you know, in a comparable area to
21 the tandem.

22 Q Okay. Let's proceed to our discussion of EELs,
23 then. Does BellSouth have a current obligation to provide
24 -- and just so we get the term, we have a common
25 understanding as to the term enhanced extended link. The

1 way Intermedia typically uses that is a combination of a
2 couple of different elements, most typically unbundled
3 loops combined with interoffice transport. Is that your
4 understanding of the term, as well?

5 A Yes.

6 Q Is BellSouth under a current obligation to
7 provide EELs?

8 A In some circumstances, yes. Where they are
9 currently combined in our network, which means that this
10 connection already exists, this transport loop connection
11 already exists for a particular end user. And in that
12 case, if it is already there, then we are obligated to
13 provide that combination as an EEL.

14 Q Is BellSouth currently providing EELs to ILECs
15 in Florida?

16 A I don't believe that we are. If we are, it is a
17 relatively small number that has been recently requested.
18 Because -- I should have said something else on that.
19 Whether they are currently combined or not, there is also
20 a limitation on the extent to which special access can be
21 converted. It has to be used for a significant amount of
22 local service, it can't be just special access service.

23 Q Is BellSouth currently processing requests to
24 convert special access services to EELs?

25 A I don't know whether we are or not, no. No, not

1 special access service. I'm sorry, I didn't hear part of
2 your question. But, no.

3 COMMISSIONER JABER: Can you repeat the
4 question. Actually, I didn't hear it.

5 MR. CANIS: Sorry, Commissioner.

6 BY MR. CANIS:

7 Q Is BellSouth currently processing requests by
8 ALECs to convert existing special access services to EELs?

9 A No, we are not. The FCC, as you know, in their
10 supplement to their UNE remand order said that until they
11 finish their rulemaking, that we would not have to do
12 that. And they are in the process of conducting a
13 rulemaking now to determine under what circumstances
14 special access services can be converted to EELs. Until
15 they finish that, they have said that we don't have to do
16 that.

17 COMMISSIONER JACOBS: Is it clear that in every
18 instance where a customer has an existing special access
19 arrangement that they are eligible, that the ALEC that
20 serves them is eligible to get that as an EEL?

21 THE WITNESS: No. In fact, it is the opposite.
22 It is clear that in most cases they are not. Because it's
23 special access. And the fact that it is special access
24 means that it has been predominantly used for long
25 distance. And what the FCC has said is that, okay,

1 special access service -- we are not going to require
2 special access to be converted to EELs until we finish
3 this rulemaking so that we can establish what the
4 consequences of that are and under what conditions that
5 that can occur.

6 BellSouth made a proposal to the FCC. In fact, BellSouth
7 and a number of other parties, in fact, including
8 Intermedia, made a proposal to the FCC as to what the
9 appropriate conditions should be, and that is pending
10 before the FCC.

11 COMMISSIONER JACOBS: I guess I was speaking
12 more on technical terms. Given that all of those issues
13 are addressed, and it is then the stated policy that that
14 will happen. Are there any particular barriers or
15 impediments that would prevent someone who now has a
16 special access arrangement and the ALEC that comes in to
17 serve them from getting that as an EEL?

18 THE WITNESS: No. If you assume that the policy
19 decision has been made, you know, that yes, this is going
20 to happen. The only thing you have to do is come up with
21 an ordering mechanism in order to make it happen.

22 COMMISSIONER JACOBS: Is this one of those --
23 well, let me not go off in that direction. We could go
24 off on another whole new discussion about OSS. Okay,
25 thank you.

1 BY MR. CANIS:

2 Q Mr. Varner, let me just clarify your position.
3 Your position is that it is very unlikely that special
4 access circuits can be converted to EELs?

5 A No. As of today they can't, because we are not
6 offering that and we are not obligated to offer that.

7 Q Isn't the FCC's currently effective rule that if
8 a carrier, if an ALEC certifies that it is carrying a
9 significant amount of local traffic that it can convert
10 existing special access circuits to EELs?

11 A Yes, it is. However, what is happening is that
12 the FCC is now trying to make a determination as to how do
13 you find that out. There is one instance that is very
14 clear, and that is that if the ALEC is providing all of
15 the customers local service then obviously it is
16 predominantly local. So under that instance, then, yes, I
17 believe that it could be, but that is really the only
18 instance that has been resolved.

19 Q Actually, isn't the current state of the law
20 under the FCC rules that you can -- an ALEC can obtain an
21 EEL as long as it certifies that it is carrying a, quote,
22 significant amount of local traffic?

23 A That is correct. However, the FCC has not yet
24 been able to make a determination as to what constitutes a
25 significant amount of local traffic in order to effect

1 that rule. That is what they are in the process of doing
2 now.

3 Q And is it BellSouth's position that until the
4 FCC does come out and clarify what it means, BellSouth is
5 not obligated to convert special access to EELs?

6 A Not to clarify what it means, but in order to be
7 able to effect that rule.

8 Q Is it BellSouth's position that it is not now
9 obligated to convert special access circuits to EELs?

10 A That's correct. Except for obviously the
11 exception that I talked about.

12 Q Let me refer you to BellSouth's response to
13 Intermedia's first set of interrogatories. It is Item
14 Number 44, dated March 13th, 2000.

15 A I don't have that one.

16 Q If your counsel doesn't object, I could share my
17 copy with you.

18 And for the record, I would also like to bring
19 your attention to Item Number 41 also in response to
20 Intermedia's first set of interrogatories, also dated
21 March 13th, 2000.

22 Mr. Varner, I'm going to show you these
23 questions and answers. Responses were provided by
24 Mr. Jerry Hendrix of BellSouth, and I would like for you
25 to read both the request and the response to Item Number

1 41 and 44 into the record of the proceeding.

2 A All right. "Has BellSouth converted existing
3 special access circuits to EELs for an ALEC in Florida?"

4 Response, "BellSouth is currently working with
5 MCI to convert existing special access circuits to EELs."

6 And 44, "If the answer to Interrogatory Number
7 41 is in the affirmative, what proof does BellSouth
8 require the ALEC to submit to demonstrate that it uses the
9 UNE combinations to provide a significant amount of local
10 traffic?" MCI certified that the EELs were being used to
11 transport local traffic."

12 Yes, that is consistent with what I have said
13 earlier. MCI has asked for them, we are working with them
14 to determine whether and how they would be provided. But
15 that hasn't been completed yet. And one of the problems
16 is how to determine whether it is not -- it is providing a
17 significant amount of local service.

18 MCI, at least for some, apparently has said that
19 they were being used to transport local traffic. If they
20 are being used only for local, then obviously there is no
21 problem. If, in fact, they are not, then we are hung up
22 on how to determine whether it is a significant amount,
23 which is what the FCC is currently assessing.

24 Q Mr. Varner, are you aware that BellSouth and
25 Intermedia both signed and coauthored a proposal to the

1 FCC for defining what significant amount of local usage
2 is?

3 A Yes. In fact, that was provided in response to
4 Interrogatory Number 40.

5 Q In the three different options that were
6 proposed in that joint filing, do any of those require
7 that an ALEC can only convert to an EEL if it only
8 provides local service and nothing but?

9 A Oh, no. In fact, the purpose for that was to
10 try to define situations where the special access circuit
11 is carrying both local and long distance, to what
12 magnitudes of the two different types have to be provided
13 in order to allow that service to be converted to EELs.
14 That was the purpose for the letter is to try to find how
15 you can determine a significant amount of local service on
16 a facility that is providing both local and long distance.

17 Q Now, with the understanding that the FCC is
18 considering that filing and other filings by other
19 carriers in that proceeding, let's assume that it takes
20 the FCC some time to come out with a decision on this.
21 Let's say, let's assume it takes them six months. Under
22 that hypothetical, if Intermedia today filed a request to
23 convert special access circuits to EELs, and with that
24 request issued a certification to BellSouth that those
25 circuits carried a significant amount of local traffic,

1 would BellSouth convert or would it refuse?

2 A I don't have enough information with just that
3 to be able to answer it. If, in fact, it met those
4 criteria that we have agreed to propose to the FCC, I
5 believe we would allow it, we would go into the process of
6 figuring out how to convert them.

7 Q By the way, does --

8 COMMISSIONER JABER: Excuse me, can you
9 elaborate on that. Ask your question again, and if I'm
10 not mistaken your answer is you don't have enough
11 information. So my question to you is what additional
12 information would you need?

13 THE WITNESS: Information in order to be able to
14 establish whether the conditions that were in the letter
15 were, in fact, met. The conditions that are in the letter
16 deal with relative proportions of traffic, and how you
17 determine for certain types of facilities how much is
18 local and how much is long distance, and that is the
19 information that we would need.

20 COMMISSIONER JABER: Knowing that, Mr. Canis,
21 would you ask your question again.

22 MR. CANIS: Yes, Your Honor.

23 BY MR. CANIS:

24 Q Assuming that the FCC is not going to come out
25 with an order clarifying its position on what a

1 significant amount of local traffic is for another six
2 months, if Intermedia today submitted a request to
3 BellSouth and simply said we want to convert a special
4 access circuit to an EEL, we hereby certify that this
5 circuit carries a significant amount of local traffic,
6 would BellSouth process the request or would it refuse?

7 A That's what I said. If that is all we had, then
8 what we would enter into is a discussion with Intermedia
9 to see if, in fact, it met the criteria or the standards
10 that are in the letter that we both provided. If you just
11 said that, then I guess the answer would be that we would
12 refuse.

13 COMMISSIONER JABER: You would refuse?

14 THE WITNESS: Yes. If that is all we knew.
15 What would actually happen is we would then contact
16 Intermedia and say, okay, we need to figure out what is
17 here and whether or not it meets the criteria or not.

18 BY MR. CANIS:

19 Q Mr. Varner, has BellSouth established a position
20 on what kind of nonrecurring charges apply upon conversion
21 of a special access circuit to an EEL?

22 A Have we reached a decision, did you say?

23 Q Yes.

24 A Yes.

25 Q And what is BellSouth's position on that?

1 A We have proposed some rates to Intermedia, if I
2 remember right, for conversions. I don't remember what
3 the numbers are.

4 Q Was this a party-specific thing, or has
5 BellSouth taken a broader position where it has identified
6 what kind of nonrecurring charges might apply before this
7 Commission or the FCC?

8 A What we offered to Intermedia was
9 party-specific, but the same rates would be offered to
10 anybody. We have offered them party-specific because they
11 have been part of individual contract negotiations, but
12 the numbers would be the same for anybody.

13 Q And you don't recall what those rates are?

14 A I don't, no. There were a number of them. I
15 could submit them. In fact, Intermedia has them. We
16 transmitted them, I think, on the 5th, I believe it was.

17 Q Okay. Do you happen to know if those rates were
18 the rates that apply for new installations of a special
19 access circuit or an unbundled network element?

20 A It was actually both. There were rates for
21 conversions as well as rates for new.

22 Q Do you know the circumstances under which new
23 installation rates would apply?

24 A I really don't remember.

25 Q Are there cases in which BellSouth will make

1 available new combinations of UNEs that have not been
2 previously combined?

3 A Oh, yes, there are. We have been offering
4 professional service arrangements for some time where we
5 will do that. But let me be clear, we don't -- those are
6 not subject to the pricing standards and so forth under
7 the Act. They are done outside of the normal 251/252
8 process.

9 Q Are there any circumstances under which
10 BellSouth will provide new combinations of UNEs that are
11 subject to the pricing rules of Section 251 and 252 of the
12 Communications Act?

13 A No, I don't believe there are any such
14 situations.

15 Q I'm sorry --

16 A That there are any such situations. We are not
17 obligated to provide new combinations under the Act. We
18 will do it, but we do it as a separate commercial
19 undertaking, not an obligation under the Telecom Act.

20 Q Will BellSouth provide new combinations in the
21 top 50 MSAs in the country in Zone Ones, in cases where
22 customers have four lines or greater in areas where it
23 wishes to eliminate local switching as an unbundled
24 network element?

25 A Yes. I'm sorry, I had forgotten about that.

1 That is loop port. We were talking about EELs, that is a
2 loop port combination. And, yes, we will do that in order
3 to enable us to avail ourselves of the exemption from
4 local switching as an unbundled network element in those
5 areas.

6 Q And for those new combination EELs, are those
7 priced in accordance with the rules, with section -- the
8 price guidelines of Section 252 of the Communications Act?

9 A I don't remember in that instance whether they
10 are or they aren't. I know we have to do it in order to
11 get the exemption, but I don't remember what the pricing
12 rules were for it.

13 MR. CANIS: You Honor, as a point of order, may
14 I make an on-the-record request that BellSouth identify
15 what its position is on that issue, and that is
16 specifically if it does order new combinations of EELs in
17 order to -- as a trade-off for eliminating local switching
18 as an unbundled network element, is it obligated to
19 provide those combinations, those new combination EELs in
20 accordance with the pricing rules of Section 252 of the
21 Communications Act?

22 COMMISSIONER JACOBS: Well, I think the best we
23 can do now is you can ask the question and get the answer
24 from this witness in terms of BellSouth's position if is
25 not misstated in the prehearing statement, I assume it

1 hasn't.

2 MR. VACCARO: I'm sorry, would you repeat that,
3 Commissioner?

4 COMMISSIONER JACOBS: If they haven't stated a
5 formal position in the prehearing statement for this case,
6 then it stands merely as a matter of a question from the
7 witness, isn't that correct?

8 MR. VACCARO: I believe that is the case.

9 COMMISSIONER JACOBS: So if it is within the
10 expertise or the knowledge of this witness, then you can
11 elicit that.

12 MR. CANIS: Very good.

13 MR. VARNER: I don't remember.

14 BY MR. CANIS:

15 Q Okay. So this is not -- you don't recall or is
16 it not within your expertise?

17 A I just don't recall. So I guess it is not
18 within my expertise, because I don't know.

19 COMMISSIONER JACOBS: Well said.

20 MR. CANIS: Your Honor, as a procedural matter
21 is there any way to get a clarification of that?

22 COMMISSIONER JABER: I think what he is asking
23 for perhaps is a late-filed exhibit.

24 COMMISSIONER JACOBS: You can do a late-filed
25 request.

1 MR. CANIS: Very good. Thank you.

2 COMMISSIONER JABER: Put on the record -- you
3 need to ask your question on the record, which you did,
4 and he has said he doesn't recall, and you ask for a
5 late-filed exhibit with a response to your question.

6 MR. CANIS: Very good. Thank you. We will do
7 that. Thank you.

8 COMMISSIONER JABER: Chairman, we need to
9 identify the number of the late-filed exhibit.

10 COMMISSIONER JACOBS: Thank you. We will give
11 that as Exhibit Number 8.

12 (Late-Filed Exhibit Number 8
13 identified.)

14 MR. CANIS: And, I'm sorry if I'm missing the
15 procedure here, then we just submit that written data
16 request after the proceeding and that will be identified
17 as Exhibit Number 8?

18 COMMISSIONER JACOBS: Well, the record can serve
19 as a written request. You are free to enunciate it in
20 writing to be clear what you are asking for, but the
21 request is taken from the record.

22 MR. VACCARO: Commissioner, can we get a
23 suggested title for that exhibit?

24 COMMISSIONER JACOBS: Yes. Would you give us a
25 title for that?

1 MR. CANIS: We could call that pricing rules for
2 new combination EELs.

3 MR. KITCHINGS: Commissioner Jacobs, for
4 BellSouth we would note for the record we are not going to
5 object to that request, however, we do not believe that it
6 is one of the issues as stated in the prehearing order
7 that is to be considered here today. But, again, we will
8 not object to the late-filed data request.

9 COMMISSIONER JACOBS: Okay. It is noted.

10 MR. CANIS: Thank you.

11 BY MR. CANIS:

12 Q And just finally on this topic, Mr. Varner, are
13 you aware that the Georgia Public Utilities Commission
14 recently in Docket Number 10692-U, came out with an order
15 that finds that, quote, "Currently combines for defining
16 an ILEC's obligation to provide EELs, means ordinarily
17 combined within the BellSouth network in the manner in
18 which they are typically combined"?

19 A Yes, I am. That finding by the Georgia
20 Commission, as you know, is at odds with the way the FCC
21 has defined it. And that issue is the one that is
22 currently before the Eighth Circuit Court of Appeals.
23 That will get resolved when the Eighth Circuit rules. So
24 right now, yes, the Georgia Commission took that position,
25 it is at odds with what the FCC has said, and it is

1 currently before the Eighth Circuit Court of Appeals and
2 they will make a determination about whether that is a
3 proper way to apply that terminology.

4 Q I would like to talk with you now briefly about
5 frame relay. And as we discussed earlier, frame relay is
6 a data service, and it is my recollection that BellSouth
7 agrees that frame relay can be a local service as well as
8 an interstate service, is that correct?

9 A Yes, it can be.

10 Q To the extent that frame relay is a local
11 service, is BellSouth obligated to provide interconnection
12 to ALECs for this service?

13 A Yes, we are.

14 Q Now, for other services, like voice grade
15 services, when we do interconnection for local service,
16 the carriers compensate each other at a reciprocal
17 compensation rate which is based on long-run incremental
18 costs, is that the case?

19 A Not really. There is kind of like two parts
20 when you talk about interconnection. You have the
21 interconnection facility that actually connects the two
22 networks, okay. And then you have transport and
23 termination of traffic once the traffic gets onto the
24 other party's network. And the reciprocal compensation in
25 many cases -- depending on how the interconnection is

1 worked out determines whether that is part of the
2 reciprocal compensation or not. Reciprocal compensation
3 applies to the cost that the ALEC incurs from its switch
4 out to the switch that serves its end user. Whether
5 reciprocal compensation applies to the interconnection
6 facility is dependent on how the interconnection facility
7 was provided.

8 Q And when that reciprocal compensation rate does
9 apply, that is set at a long-run incremental cost
10 standard, right?

11 A Yes, it is.

12 Q Is it BellSouth's position that when Intermedia
13 and BellSouth interconnect for purposes of passing frame
14 relay traffic back and forth that the appropriate level of
15 compensation is at BellSouth's tariffed rates?

16 A No, that's why I was making that distinction.
17 What we are proposing is to provide the facility, if I
18 remember correctly, at tariffed rates because of the --
19 yes. On frame relay service, the service is almost
20 entirely interLATA. That has been our experience in
21 providing that. The interLATA part will be provided at
22 access tariffed rates, or the intraLATA non-local part
23 would also be provided at access tariffed rates.

24 And in our experience, the part that is local,
25 if there is any, is so small until it doesn't make sense

1 to try to go and figure out an amount, that a local
2 separate local interconnection would apply. And when I
3 say so small, we have these percent local circuit usage
4 that carriers are supposed to provide to us in order to
5 get reimbursed for interconnection costs. Nobody has ever
6 given us one in Florida. So it must be pretty small if
7 nobody has ever even asked for the money.

8 Q If Intermedia were to provide a percent local
9 usage report that identified, oh, I don't know, let's say
10 25 percent of the traffic as local, would transport and
11 termination rates be appropriate when that traffic is
12 passed between the two carriers' networks?

13 A No. On framed relay there really is no -- you
14 can't apply these transport and termination -- well, if
15 you tried to apply them, the answer would always be zero.
16 Because the reason is this, remember frame relay is packet
17 switched. There aren't any minutes of use to measure in
18 order to apply a per minute charge to.

19 So, I mean, even though you have got a per
20 minute charge there is nothing to multiply it by in order
21 to come up with a number, because it sends packets, there
22 are no minutes.

23 Q By the way, let me absolutely agree with you
24 there. I agree that per minute use of rates are not
25 appropriate for frame relay. And that it is true -- well,

1 is it true that BellSouth, like Intermedia, prices frame
2 relay on a flat monthly rate when it provides it in its
3 tariff?

4 A Well, there is a combination of rates. We have
5 the rate for the line, we also have rates which are for
6 committed information rates and the DELCs (phonetic) and
7 so forth. I think -- I was trying to remember, I don't
8 remember whether -- I know all of those are flat, and I
9 don't remember whether -- no, we don't have any per packet
10 charges. All of our charges are flat rate charges.

11 Q But to establish long-run incremental cost rates
12 for frame relay that comply with Section 252 of the
13 Communications Act, I'm assuming that BellSouth would need
14 to submit cost studies and the Commission would need to
15 analyze it, analyze the costs unique to frame relay just
16 as they have done with switched services. Do you agree
17 with my assumption?

18 A Well, in part. But before you ever got there,
19 what you would have to do is to figure out, okay, how are
20 we going to determine this. I mean, right now nobody even
21 measures this stuff. I'm not sure what it is we would
22 measure to form the basis for it. So our suggestion, our
23 proposal is that, one, since the local part of this is so
24 small, and, two, since there is no way to measure it,
25 let's just treat it on a bill and keep basis for that part

1 that is local.

2 Q And that is both for the transport, meet type
3 transport between the carriers as well as transport and
4 termination on each carriers' network?

5 A No, the meet type transport I thought we had
6 resolved. That was the issue we resolved this morning.

7 Q Thank you, yes. So to clarify BellSouth's
8 position would be to pursue a bill and keep arrangement
9 for the transport and termination of frame relay traffic
10 on each others network?

11 A Yes, beyond the facility where we are actually
12 connect the network.

13 Q Okay. And my final line of questioning is on
14 the definition of local traffic. I would refer you to
15 Pages 44 through 46 of your direct testimony.

16 A Yes.

17 MR. KITCHINGS: Excuse me, Mr. Canis, did you
18 say local traffic, definition of local traffic, or
19 definition of switched access traffic?

20 MR. CANIS: I'm sorry, I misspoke. Switched
21 access. Thank you.

22 BY MR. CANIS:

23 Q And let me refer you to Lines 1 and 2 on Page
24 44, where BellSouth proposes that switched access traffic
25 is as defined in the BellSouth access tariff; and, two,

1 additionally, IP Telephony will be considered switch
2 accessed traffic. I believe Intermedia does not object to
3 BellSouth defining -- sorry, let's strike that question.

4 Isn't it true that the FCC has exclusive
5 jurisdiction in defining switched access?

6 A Yes.

7 Q Isn't it true that the FCC has exclusive
8 jurisdiction over identifying whether a service is an
9 enhanced service and whether a high level protocol
10 conversion, such as Internet protocol, makes a service
11 enhanced?

12 A Yes, that is true, also.

13 Q On Page 46 you identify the FCC's -- on Line 22
14 you refer to the FCC's April 10th, 1998 report to Congress
15 talking about phone-to-phone IP Telephony. Was that
16 report to Congress about the application of access charges
17 or was that report to Congress about the potential
18 application of universal service subsidy payments?

19 A I'm not sure what the distinction is that you
20 are making. The report was a report to Congress
21 concerning universal service. And in the report they
22 discussed a number of things, including circumstances
23 under which access charges would apply and what services
24 were access and which were not. All of that a part of
25 trying to define what services are subject to universal

1 service support. So it kind of covered both of those
2 areas.

3 Q Is there any currently effective rule or has
4 there been a rule in the past by the FCC that has ever
5 identified any form of IP Telephony as a regulated telecom
6 service subject to access charges?

7 A Yes, I believe there is. There are access
8 charge rules. If you look at their access charge rules,
9 Part 69 at the definition of access, it clearly includes
10 this service. Our only reason for asking for this to be
11 stated in the agreement is so that it is clear how it is
12 to be handled. We believe that not having that statement
13 in there doesn't change the fact that this is, in fact,
14 switched access.

15 But we learned through negotiations that some
16 carriers were trying to have this traffic somehow not
17 treated as switched access and wanted to be sure that
18 there was complete understanding as to what our intent
19 was, which is to follow the FCC's rules so we don't have a
20 situation like what happened in old agreements with ISP
21 traffic. Since we didn't say that ISP traffic was
22 non-local, even though we believed that it was, we had
23 this dispute about whether it was or wasn't. We don't
24 want to have that dispute with respect to this traffic.

25 Q Mr. Varner, did you just tell me that Part 69 of

1 the FCC's rules expressly states that phone-to-phone voice
2 over IP Telephony is an access service subject to access
3 charges?

4 A No, I was only trying to say that that language,
5 those words where they specifically identify IP Telephony
6 is in the rule. But if you read the rule, the traffic for
7 which access charges apply in the rule clearly includes
8 this traffic. I mean, they don't list in the rule what
9 type of technology has to be used in order to complete the
10 long distance call. They just say it has to be a long
11 distance call. And all this is is a form of technology.
12 They don't list all the different types of technology.

13 Q So you are asking this Commission to make a
14 statement of what interstate access charges are and
15 whether a service is an enhanced service or not based
16 solely on BellSouth's interpretation of the FCC's Part 69
17 rules?

18 A No, I'm not asking them to make a determination
19 on what is interstate. I'm asking them to simply adopt
20 the FCC's definition of access which is what is reflected
21 in our tariff. So adopt the definition in our tariff.
22 And also to specifically state that this traffic is, in
23 fact, included in switched access, which is really a
24 redundant statement, because it is. But we want to make
25 sure that this agreement very clearly points out that it

1 is to avoid the potential for a later dispute about
2 whether it is or it isn't.

3 Q Although you cannot identify to me or to this
4 Commission any rule by the FCC where it expressly
5 identifies that phone-to-phone IP Telephony is an access,
6 is a regulated access service?

7 A Not with those words. However, the access
8 charge rules, as I stated, clearly include this traffic.
9 If you read the access charge rules it doesn't say, for
10 example, that wire line, regular voice grade wire line
11 technology qualifies as access service. It doesn't
12 specify any technology. It specifies the type of service
13 and it is technology neutral. So just because you use
14 this particular technology as opposed to another
15 technology to complete a long distance call doesn't change
16 the fact that it is access service.

17 MR. CANIS: Thank you, Mr. Varner.
18 Thank you, Commissioners. I have no further questions on
19 the direct.

20 MR. VACCARO: Yes, I have got just a few
21 questions for Mr. Varner.

22 CROSS EXAMINATION

23 BY MR. VACCARO:

24 Q I would like to go ahead and start off with the
25 line of questioning that Mr. Canis just concluded.

1 Is switched access traffic defined in the
2 current BellSouth/Intermedia agreement?

3 A I don't remember. I don't know whether it is or
4 not.

5 Q Okay. Do you know if IP Telephony is currently
6 treated or considered in the current agreement?

7 A It is not specified in the current agreement.
8 Again, here we are talking about switched access service.
9 And typically in a local interconnection agreement you
10 wouldn't even address switched access service.

11 Q Let me go ahead and back up to Issue 3, which we
12 had quite a bit of discussion on earlier regarding the
13 comparison of Intermedia's switches with BellSouth's
14 tandem switches. We have some confidential documents here
15 that Intermedia has filed in its supplemental response to
16 staff's first request for production of documents.

17 Now, as I understand it, is it correct that you
18 have entered into a protective agreement so that you can
19 view those materials?

20 A Yes, that is correct.

21 Q What we are going to do is we are going to ask
22 you to look at this.

23 COMMISSIONER JABER: Mr. Vaccaro, which exhibit
24 is this?

25 MR. VACCARO: This comes under Exhibit -- I

1 believe it is Exhibit 4. Yes, that is correct. It is
2 marked CONF-1, but it is Exhibit 4.

3 BY MR. VACCARO:

4 Q I am going to ask you to review the documents,
5 but I will go ahead and let you know what the questions
6 are I'm going to ask first. I think it will make it
7 easier that way, then you can take your time in looking at
8 the documents.

9 Specifically what I'm going to ask you is
10 whether or not the -- what I'm going to ask you is whether
11 or not the confidential documents provided by Intermedia
12 show that Intermedia -- I want you to look for the Miami
13 and Orlando area, and let me know whether or not in
14 looking at this material it indicates whether Intermedia's
15 switch serves a geographic area comparable to that of
16 BellSouth's tandem switch in those areas. And then I'm
17 going to ask you the same question again for the
18 Jacksonville area. So if you can just review those, and
19 then whenever you are ready.

20 MR. CANIS: Just as a point of order, I
21 understand that we are looking at some proprietary
22 materials. It is my understanding that we are not
23 intending to go off the record or onto a proprietary
24 record. And it is my understanding that people will
25 discuss this stuff at a kind of 5,000-mile level so that

1 we don't disclose proprietary information.

2 MR. VACCARO: Yes, that is correct. Thank you.

3 MR. CANIS: Thank you.

4 MR. VACCARO: Mr. Varner, try and be as
5 nondescript as possible.

6 COMMISSIONER JACOBS: That is a hard task, I'm
7 sure, but --

8 MR. VACCARO: I will go ahead and repeat the
9 questions for you.

10 BY MR. VACCARO:

11 Q The first question is in your opinion did the
12 confidential documents provided by Intermedia for the
13 Miami and Orlando areas show that Intermedia's switch
14 serves a geographic area comparable to that served by
15 BellSouth's tandem switch in those areas?

16 A No, they do not.

17 Q Okay. Can you explain why in generic terms, if
18 at all possible?

19 A Yes. For one thing, all three of these maps
20 really show an area that Intermedia says that it is
21 willing to provide service or offer service in. It
22 doesn't identify where they are actually providing
23 service, whether they are actually providing service to
24 customers in those areas. And in a couple of them it is
25 actually obvious from the map, when they laid down the

1 territory that they serve, that it doesn't even cover the
2 entire local serving area. The parts that are in white
3 are areas that they are not serving that are within the
4 local serving area served by the tandem.

5 Q And will you please answer the same question
6 with respect to the Jacksonville area?

7 A The same thing. You have got -- it shows the
8 same type of information.

9 Q Okay, thank you. And, finally, I would like to
10 ask you some questions regarding Issue 26, which is the
11 issue that asked whether the parties should be allowed to
12 establish their own local calling areas and assign numbers
13 for local use anywhere within such area.

14 Do you know of any statute, rule, or law, or any
15 other authority that would prohibit an ALEC from assigning
16 NPA-NXXs to ALEC local calling areas that may exceed the
17 boundaries of the ILEC local calling area?

18 A No, I do not. And we are not suggesting that
19 Intermedia not be able to do that. We are not attempting
20 to try to confine or control how they utilize their NXX
21 codes. Our concern is really two-fold. We want to be
22 able to bill our customers properly when they make a call
23 to an Intermedia customer. We need to know whether that
24 is a local or a long distance call for billing our
25 customers and whether access or reciprocal compensation

1 applies. They can use their NXX codes however they want
2 as long as we have the ability to resolve those two
3 issues.

4 Q If Intermedia were able to provide the billing
5 information such that BellSouth would be able to determine
6 whether calls to a particular number are local or toll,
7 would BellSouth be satisfied with that?

8 A Yes. Unfortunately, through all the discussions
9 that we have had with Intermedia there has been no
10 mechanism that has been identified that would enable that
11 to take place.

12 MR. VACCARO: Thank you very much. I have no
13 further questions.

14 COMMISSIONER JACOBS: Commissioner?

15 COMMISSIONER JABER: No questions.

16 COMMISSIONER JACOBS: Redirect.

17 MR. KITCHINGS: Commissioner Jacobs, before I
18 begin redirect, just in the interest of time, you had
19 mentioned earlier perhaps discussing whether we could
20 complete the proceeding today or not. And I realize that
21 the order as it is currently set would require Mr. Varner
22 to take a seat and then come back again for cross
23 examination on his rebuttal testimony, but BellSouth would
24 be amenable to allowing Mr. Varner to continue and take
25 cross examination on his rebuttal testimony now, and then

1 deal with Mr. Milner in like fashion so that we could just
2 redirect him once, just cross-examine him once in an
3 effort to attempt to complete closure of this today.

4 COMMISSIONER JACOBS: I had intended to ask that
5 at the beginning of it. How long do you think your cross
6 would be for rebuttal?

7 MR. CANIS: Your Honor, I think on the reply for
8 Mr. Varner, I don't think it will run more than about 30
9 minutes, and I think total for Mr. Milner I think it is
10 about the same for both direct and rebuttal.

11 COMMISSIONER JACOBS: How about you, staff?

12 MR. VACCARO: I may have at most one question, I
13 think, at this point.

14 COMMISSIONER JACOBS: If that is okay with the
15 parties?

16 COMMISSIONER JABER: To do rebuttal together, to
17 do rebuttal now?

18 COMMISSIONER JACOBS: Yes.

19 COMMISSIONER JABER: No, I would prefer to do it
20 separately, but it is your call. I would prefer on this
21 case to do it separately.

22 COMMISSIONER JACOBS: All right.

23 COMMISSIONER JABER: But I also don't mind
24 trying to finish the hearing today, if we need to go
25 later, but --

1 COMMISSIONER JACOBS: Why don't we do this,
2 let's go ahead and do it with this witness because I
3 think -- if we can -- I will be honest with you, I think
4 the attraction of lunch waiting would be of some use and
5 then we see where we go after that.

6 MR. KITCHINGS: Commissioner Jacobs, if it is all right,
7 if witnesses would be split apart, we would just as soon
8 have Mr. Varner be split apart, as well, so that all
9 witnesses are treated in like fashion. I don't mean to
10 be difficult.

11 COMMISSIONER JACOBS: Okay. Well, that is
12 certainly fine with me. I would want to make sure that we
13 can keep the rebuttal as concise as possible. And if that
14 is the case, that is fine with me.

15 MR. KITCHINGS: Thank you. And I do have one or
16 two redirect questions of this witness.

17 COMMISSIONER JACOBS: Okay.

18 REDIRECT EXAMINATION

19 BY MR. KITCHINGS:

20 Q Mr. Varner, you recall, do you not, that you had
21 several questions from Mr. Canis and Commissioner Jaber
22 regarding calls that are to Internet service providers.
23 And specifically you will remember you had some questions
24 about accessing local web pages. Do you recall those
25 series of questions?

1 A Yes. They were not calls to Internet service,
2 but they were through -- they were actually calls to
3 websites.

4 Q Right. And there was a discussion about in Mr.
5 Canis' case going to the FCC's web page and in
6 Commissioner Jaber's case going to either the Commission
7 web page or the local newspaper. Do you recall those
8 questions.

9 A Yes, I do.

10 Q My question to you, Mr. Varner, is if I am
11 surfing the web, to use that term as it is commonly used,
12 and I go from one site to another, such as the FCC web
13 page to perhaps the California Public Service Commission
14 web page. Is there any way that you are aware of to break
15 apart those calls so that you could find which ones are
16 local, to local pages and which ones are to pages that are
17 on distant servers?

18 A No, there isn't. And that was one of the
19 problems that the FCC cited in trying to look at is there
20 some kind of way to divide up an Internet session. That
21 is a subject of their notice of proposed rulemaking. But
22 I know of no way you could do that; and they didn't,
23 either.

24 And that is one of the problems is that you get
25 on the Internet, you know, in the same session through the

1 same connection you could access a website that is in your
2 same exchange, it could be in the same state, another
3 state, or anywhere across the world and you just kind of,
4 you know, go around to them. And in some cases you might
5 even have some stuff, you know, that you minimize and then
6 go to another one. So it is impossible to able to tell.

7 One other clarification I wanted to make is that
8 when we were talking about like the FCC's web page and the
9 Tallahassee Democrat web page early on, I was answering
10 those from the assumption that the website was located
11 within that local calling area. That may are may not be
12 the case, which is another problem.

13 You really don't know where the call goes when
14 you go onto the Internet. Just because you are accessing
15 something that is a local business or a local concern
16 doesn't mean that you are doing a local call. And, in
17 fact, you can go to two different places when you are
18 using -- going to the same place. For example, the
19 Tallahassee Democrat. Whoever provides their web pages
20 could have them stored on several servers. And let's say
21 there is a server here in Tallahassee and you would
22 normally go there. If that one is congested, they may
23 send you to a server in California that has the same
24 content on it as the one in Tallahassee. So even for the
25 same website, you may go to different servers and you

1 don't have any control over any of that.

2 Q And in that case, Mr. Varner, it would be one
3 provider but it would be separate locations for those
4 various websites?

5 A Right, just depending on what the congestion is
6 and the traffic patterns are on that provider's network at
7 that time.

8 MR. KITCHINGS: Thank you, Mr. Varner.
9 Thank you, Commissioner Jacobs. I don't have any other
10 redirect.

11 COMMISSIONER JACOBS: Okay. The exhibits we
12 have are AJV-1, 2, 3 by BellSouth. Would you move those?

13 MR. KITCHINGS: Yes, we would move those into
14 the record, and I believe they would be Exhibits 5, 6, and
15 7.

16 COMMISSIONER JACOBS: Yes, 5, 6 and 7. Show
17 them admitted. And the Intermedia Late-filed Exhibit,
18 Exhibit 8, the pricing rules, without objection show that
19 admitted.

20 (Exhibit 5, 6, 7 and 8 received in
21 evidence.)

22 MR. VACCARO: And, Commissioner Jacobs, can we
23 get a filing date for that exhibit?

24 COMMISSIONER JACOBS: Yes.

25 MR. KITCHINGS: I'm not sure, Commissioner

1 Jacobs, how long it is going to take us to run that down.

2 I guess I would turn to Mr. Varner.

3 MR. VARNER: It won't take long.

4 MR. KITCHINGS: Could we have ten days on that?

5 MR. CANIS: Yes, sir.

6 COMMISSIONER JACOBS: That sounds sufficient.

7 Very well. Anything else?

8 You may step down, but I guess we will see you back
9 again, soon.

10 COMMISSIONER JACOBS: .

11 - - - - -

12 (Transcript continues in sequence in Volume 2.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER


3 COUNTY OF LEON)

4
5 I, JANE FAUROT, RPR, Chief, FPSC Bureau of Reporting,
6 Official Commission Reporter, do hereby certify that the
7 Hearing in Docket No. 991854-TP was heard by the Florida
8 Public Service Commission at the time and place herein
9 stated.

10 It is further certified that I stenographically
11 Reported the said proceedings; that the same has been
12 transcribed under my direct supervision; and that this
13 transcript, consisting of 156 pages, Volume 1 constitutes a
14 true transcription of my notes of said proceedings and the
15 insertion of the prescribed prefiled testimony of the
16 witness(s).

17 I FURTHER CERTIFY that I am not a relative, employee,
18 attorney or counsel of any of the parties, nor am I a
19 relative or employee of any of the parties' attorneys or
20 counsel connected with the action, nor am I financially
21 interested in the action.

22 DATED THIS 17TH DAY OF APRIL, 2000.

23
24 
25 JANE FAUROT, RPR
FPSC Division of Records & Reporting
Chief, Bureau of Reporting
(850) 413-6732