

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of

CONSIDERATION OF BELLSOUTH DOCKET NO. 960786B-TP
TELECOMMUNICATIONS, INC.'S
ENTRY INTO INTERLATA SERVICES
PURSUANT TO SECTION 271 OF THE
FEDERAL TELECOMMUNICATIONS ACT
OF 1996. (THIRD PARTY OSS TESTING)

PETITION OF COMPETITIVE CARRIERS DOCKET NO. 981834-TP
FOR COMMISSION ACTION TO SUPPORT
LOCAL COMPETITION IN BELLSOUTH
TELECOMMUNICATIONS, INC.'S
SERVICE TERRITORY.

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY

VOLUME 2

PROCEEDINGS: WORKSHOP

BEFORE: CHAIRMAN LILA A. JABER
COMMISSIONER J. TERRY DEASON
COMMISSIONER BRAULIO L. BAEZ
COMMISSIONER MICHAEL A. PALECKI
COMMISSIONER RUDOLPH "RUDY" BRADLEY

DATE: Monday, February 18, 2002

TIME: Commenced at 9:30 a.m.
Concluded at 6:02 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: TRICIA DeMARTE
Official FPSC Reporter
(850) 413-6736

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER DATE

02194 FEB 25 02

FPSC-COMMISSION CLERK

P R O C E E D I N G S

(Transcript continues in sequence from Volume 1.)

CHAIRMAN JABER: Okay. So as it relates to the ALECs' request to electronically enter all LSRs, I'm assuming they went -- the ALECs went through the CCP process. BellSouth has said, your requests are not technically feasible. So the ALECs are bringing that here for --

MR. PATE: Definitely. Well, they're bringing it here to this workshop. They're discussing some of their concerns from this workshop. And the items that are being discussed here today, these are being worked currently through the change control process, and particularly, you've heard someone reference a flow-through task force which has challenged to go and look at items that today are processed manually as well as look at items today that are experiencing system errors to see what we can do for improvement in those areas.

CHAIRMAN JABER: So what you're saying is, it's an ongoing process.

MR. PATE: Oh, yes, ma'am. This is very much ongoing, and plus some of the transactions we're talking about, particularly some of the ones Covad is mentioning, some of these are new products, new product offerings. So it's part of the process of initially getting that and those ordering procedures in place as well as some of these are impacted by

1 volumes. So we haven't mechanized it because the volumes
2 aren't there at this point in time to justify it from a
3 business standpoint, but that doesn't mean that they won't be
4 mechanized eventually. It's just you work on those in light of
5 all the other things that your resources are working on for
6 improvement of flow-through is putting those in that
7 prioritization in order.

8 CHAIRMAN JABER: Are there items that you've agreed
9 upon through the CCP process?

10 MR. PATE: Well, certainly. The CCP process actually
11 prioritizes these items. You've got two approaches.

12 CHAIRMAN JABER: Are there items that have come to
13 you through requests through the CCP process that you've agreed
14 with the ALECs are possible?

15 MR. PATE: Yes, yes.

16 COMMISSIONER PALECKI: Mr. Pate, with that answer in
17 mind, could you take a look at Covad's Page 8 of their handout?

18 MR. PATE: I don't have their handout. I'm sorry.

19 COMMISSIONER PALECKI: And basically I wanted you to
20 address the first four items that Covad claims are not
21 provided, there is no electronic interface provided. And they
22 also state that every other ILEC does, other than BellSouth,
23 provides electronic interface for these items.

24 MR. PATE: Nate, if you can put up this. It's
25 actually Slide 17. It really, I think, addresses these from

1 our presentation. Just go two forward. Two forward, please.
2 One more.

3 Here we talk about -- I think we hit on every one of
4 these items. Let's see if we do not. The unbundled copper
5 loop nondesigned, Covad submitted a request back on November
6 2001, and this is currently in the flow-through task force being
7 evaluated to see what we can do with respect to those types of
8 transactions.

9 On the ADSL and line sharing with conditioning, this
10 actually has some history back to Sprint submitting a change
11 request back in April of 2001. At that time that change
12 request was rejected for being cost prohibitive. That's one of
13 the issues that Covad has raised here as well.

14 COMMISSIONER BRADLEY: Madam Chair?

15 CHAIRMAN JABER: Yes, Commissioner.

16 COMMISSIONER BRADLEY: I've been listening all day,
17 and I do have a question.

18 CHAIRMAN JABER: Yes. Go right ahead.

19 COMMISSIONER BRADLEY: Has anybody discussed what the
20 actual completion rate is that the -- with the ILECs as it
21 relates to the CLECs and the ALECs in terms of enrollment in
22 the OSS system and actually get getting them up and getting
23 them operational? I'm just trying to figure out that. And is
24 there a percentage out there that we could use to try and get
25 some ideas to what the actual success rate is?

1 CHAIRMAN JABER: Did you hear him, Terry? Let me see
2 if I got the question, Commissioner, because you were fading
3 out on me a little bit. Is your question, has someone measured
4 the completion --

5 COMMISSIONER BRADLEY: Enrollment rate.

6 CHAIRMAN JABER: -- success rate as compared to,
7 like, the ALEC-to-ALEC migration as opposed to the ILEC-to-ALEC
8 migration?

9 COMMISSIONER BRADLEY: Well, ALEC to ILEC and CLEC to
10 ILEC, and, you know, as it results to the OSS system, and how
11 many customers have actually been connected, and how many of
12 them are actually up and operational.

13 CHAIRMAN JABER: Okay. Let's give BellSouth an
14 opportunity to address that first, and then we'll get an ALEC
15 response, Commissioner.

16 COMMISSIONER BRADLEY: Okay.

17 MS. COX: Okay. We have an estimate that as of the
18 end of the year 2001 there were approximately 1.1 million lines
19 being provided by ALECs in the state of Florida. And I believe
20 the Commission's most recent report indicated about 959,000 in
21 their report which I think was as of June 2001 if I'm correct,
22 if that was the question.

23 COMMISSIONER BRADLEY: Okay. Well, could you break
24 that down in terms of a percentage?

25 MS. COX: The estimates -- I'm sorry -- the estimates

1 from BellSouth would be right around 10 percent of the total
2 lines being served by ALECs and that would be reflective of our
3 service territory. The statewide number from the Commission
4 report, I believe, was about 8 percent which also corresponded
5 with a report the FCC had put out as of end of year 2000.

6 CHAIRMAN JABER: Ms. Boone, do you want to respond to
7 that? Can you?

8 MS. BOONE: Not for the entire ALEC community. I
9 would like to respond to this slide, though. Will I have an
10 opportunity to do that?

11 CHAIRMAN JABER: Yeah, we've been pretty flexible,
12 but I need to make sure that the Commissioner's question is
13 addressed.

14 Commissioner Bradley, on the ALEC side,
15 Ms. Lichtenberg from WorldCom.

16 MS. LICHTENBERG: I can respond only to obviously the
17 WorldCom numbers.

18 COMMISSIONER BRADLEY: Right.

19 MS. LICHTENBERG: WorldCom entered the Florida market
20 in a very limited fashion because of cost issues. We're
21 serving a very small portion of the market. Through the end
22 2001 -- actually, through January 31st, 2002, we had
23 successfully installed about 2,700 residential customers here
24 in Florida. That number is an install number. It does not
25 include customers who later left and went someplace else. And

1 again, that's residential UNE-P customers only.

2 CHAIRMAN JABER: Thank you. Let's go ahead and let
3 the BellSouth panel finish.

4 MR. PATE: I think I was talking about the Sprint
5 submitted change requests and that we had rejected that
6 particular one for cost prohibitive. The reason cost
7 prohibitive usually comes into a point is because it's just a
8 volume consideration at this point in time based on the product
9 and the offer and the volume and particularly when you're
10 looking whether your resources are working on some of the other
11 requests.

12 Moving on to the next point there, which is one of
13 Covad's issues, the UDC/IDSL. As you can see, we did offer
14 them an alternative for that which was a product used on ISDN
15 lines. It could be ordered, but even in light of that, based
16 on there, the very bottom bullet on that presentation, their
17 change requests, this is being implemented in a two-phase
18 approach. The first phase took place February 2nd. Ms. Boone,
19 I think, acknowledged that earlier. This does give them the
20 ability to order these electronically. However, it will be
21 fallen out by design at this point in time and have to be
22 intervened by the representatives in the local carrier service
23 center for further processing, but phase two will take care of
24 that so that it will be flowing through the systems. And that
25 is right now currently targeted for May 18th of this year in

1 Release 10.5. I think that directly responds to Covad's issues
2 that they have raised here on Page 8.

3 CHAIRMAN JABER: Commissioner Palecki, you were
4 asking that question. Does this respond to your question? And
5 Ms. Boone has indicated she'd like to respond.

6 COMMISSIONER PALECKI: Yes, that does respond to my
7 question. And I would like to hear Ms. Boone's response.

8 CHAIRMAN JABER: Go ahead, Ms. Boone.

9 MS. BOONE: I'll be very brief. If I could take them
10 from the bottom up. The UDC/IDSL loop, I'd like to mention
11 that we are happy that apparently this release of last week
12 will give us at least some functionality, but you heard
13 Mr. Pate say it's going to fallout in the LCSC. Now, what that
14 means is, they've got to retype the order there, and all of the
15 errors that are inherent in a manual process will then come
16 into play, because if there's an error in something that's been
17 retyped, then obviously it won't flow correctly.

18 I'd also like to add that -- it's interesting because
19 we have a different view, and there's a whole panel on change
20 management, Commissioners. And we consider that to be just
21 imperative particularly in a post-271 environment because
22 that's how you get everything done. Everything is referred to
23 change management. Unfortunately, that's at the end of the
24 day, but I will tell you that Network Telephone submitted a
25 request to mechanize this UDC loop in February of 2001. Covad

1 submitted it in August of 2001, and it was only through the
2 271 process through our filings around the region and through
3 the FCC's concern about the high volume of orders that we had
4 to place manually that we are seeing this process be brought
5 into place. And as BellSouth has said, the second phase that
6 is a true electronic flow-through is several months down the
7 road.

8 Then moving up the line, the ADSL with conditioning,
9 this was requested and rejected as cost prohibitive. Every
10 other ILEC -- we work with every ILEC in the country. Every
11 other ILEC allows us to place orders electronically for loops
12 with conditioning. That's just the way it is. The UCL
13 nondesigned, we actually --

14 COMMISSIONER PALECKI: Ms. Boone, let me just ask you
15 a question about that. They made a decision in April of 2001,
16 BellSouth, that this conditioning was not -- was cost
17 prohibitive to go ahead with electronic interface because they
18 had so few requests for the service. Isn't that a reasonable
19 response, if they're only receiving several hundred requests a
20 year for this product that, you know, they would not want to
21 spend the dollars there?

22 MS. BOONE: I could certainly understand that, and
23 let me address -- the volume issue was the next one I was going
24 to address because that is their excuse for both the UCL
25 nondesigned and for the conditioning. And I would say

1 basically two things about volume. The first is that that is a
2 criteria that is placed on wholesale that is not placed on
3 retail, because on the day that BellSouth began to offer Fast
4 Access, which is its retail DSL product, they had fully
5 mechanized preordering and ordering. So they had zero orders,
6 and they got an electronic system. And they're saying, okay,
7 now we have a small volume, and it's not enough to justify an
8 electronic system. So we view that as inconsistent.

9 The second thing is that, you know, in April this
10 Commission, for example, hadn't ruled that load coil removal
11 was zero and that we could get bridged taps removed for \$9. So
12 some of this is a process of going around state by state by
13 state and convincing commissions to set good rates so that we
14 can then come in and serve customers. And just to be clear,
15 BellSouth will not offer their retail services to people who
16 have conditioned lines. So we're willing to provide DSL to
17 people that BellSouth won't provide it to.

18 And the last part of the volume question is, there
19 was a greater volume in DSL before Rhythms went out of
20 business, before NorthPoint went out of business. Now we're
21 just a few DSL providers left here in the state of Florida, and
22 so the volume is not as high as it was, say, you know, last
23 year, but we're hoping it will be again. And we're not going
24 to add 600,000 people to our network faxing orders the
25 way BellSouth -- when BellSouth can do it electronically.

1 CHAIRMAN JABER: Mr. Pate, go ahead. And I recognize
2 you were interrupted. We'll try not to do that again.

3 MR. PATE: Thank you. One point I'd like to just
4 make, and I know we have a whole session dedicated to change
5 control process, but the CLEC community is involved in the
6 prioritization of change control -- or change requests that are
7 submitted so that overall process itself helps to prioritize
8 what we work on, what we look at in terms of implementations.
9 Of course, that is also a part of that process associated with
10 orders from a regulatory authority like this Commission.

11 The issue that I would like to also point out is, we
12 had performance metrics that Mr. Varner will get into in
13 detail, so the step for moving at least from a manual
14 submission to an electronic submission where it falls out does
15 bring with it quicker response time to which we are held
16 accountable for, and there's even penalties associated with it.
17 So there's definitely one step towards that at least to get it
18 submitted electronically, and then the final step to make it
19 where we would all like to see everything is to have it then
20 flow-through once it's submitted electronically, but there are
21 rigid standards associated with that to assist in the
22 processing of these various transactions.

23 The next one that we have here just deals with some
24 other issues associated that Covad raised in their filing.
25 They raised this by reference to, I think, some previous

1 filings, so I'd just like to make a few points here. Covad has
2 previously raised concern over line sharing and ADSL -- xDSL
3 ordering processes, but, you know, Covad was one of two line
4 sharing collaborative members that participated in the original
5 testing of this process. So I thought we worked well with them
6 trying to work through the process and put it in place, listen
7 to their needs and through their cooperation and assistance.
8 BellSouth does conduct a very thorough testing end-to-end on
9 these releases as they are put in place. There's been some
10 reference to the fact that that does not occur. Well, that's
11 not true. It does occur in a very extensive manner.

12 We have professionals that work and labor day in and
13 day out to thoroughly test the systems prior to release, and
14 then, as you know, we have the CAVE system that allows the
15 CLECs to test and see if there's other things that could be
16 discovered.

17 BellSouth has also established an internal team to
18 ensure both manual and electronic line sharing orders were
19 successfully processed with Covad. We had individuals from
20 Covad's account team. Their customer support manager was on
21 there. We had members from my interconnection staff support to
22 take a look at the various orders that were submitted by Covad
23 as well as within BST's own internal processes. And frankly,
24 we found some points out for both. We found some areas of
25 opportunity for BellSouth, and we found some areas of

1 opportunity for Covad working closely with them from their
2 orders. Then we both learned some lessons out of that for
3 improvement as a result of that process.

4 Covad's complaint that LENS would not allow
5 supplemental LSRs -- you heard that referenced, I think,
6 earlier -- for the xDSL loops. This was a temporary problem.
7 We immediately got a work-around in place. This took place
8 at -- the work-around was in place in August that allowed them
9 here in this situation to submit them electronically, but once
10 again, they fell out for manual processing until we had a
11 permanent fix. And that permanent fix was put in place so that
12 this worked properly on November 3rd of 2001.

13 The final one here, Covad's complaint that LENS
14 rejected orders due to an invalid billing account number. That
15 issue has been resolved. Covad identified the difficulty
16 associated with BellSouth's documentation, but the
17 investigation turned that some of these problems really
18 resulted from Covad's misunderstanding of that documentation;
19 therefore, resulted in their failure to follow some of the
20 instructions that we had provided both on the Web as well as
21 some additional information to them via e-mail. But the bottom
22 line to that one is that one was resolved back in September of
23 2001 as well.

24 A couple other things -- let's hold that one, Nate.
25 A couple other things I'd like to talk to you, just trying to

1 respond to some of their discussions we had here, we talked
2 about the CSR process. And I wanted to make sure that the
3 Commission understood that the CSR process, particularly in a
4 migration from one ALEC to another ALEC, that involves their
5 permission to look at this. I think that came out in the
6 discussion. And BellSouth has little control over that
7 process. But Ms. Conquest was talking about, well, it would be
8 nice if we had some standard procedures. Well, there is a
9 forum for that. That same forum she referred to, the order and
10 billing forum for Access, well, there is an ordering and
11 billing forum for the local services as well. And BellSouth
12 subscribes to the industry approach. That is just a perfect
13 example. As things evolve, we are going to encounter these,
14 and we would like to see those taken from the industry as a
15 whole in that ordering and billing forum and drive to processes
16 that would then be uniform for everyone. So we applaud, you
17 know, that approach ourselves, and we would say that that forum
18 does exist today in the ordering and billing forum.

19 I'd also like to point out that we do have a
20 CLEC-to-CLEC migration process that is posted on our Web site,
21 so we have defined a process for them to follow. The challenge
22 with this, as you can appreciate, is this requires them to work
23 together when they're competitors. And I can appreciate that
24 being an opportunity. They don't want to lose one of their
25 customers to another customer. So there's some challenges

1 associated with that. Maybe if we get back to an OBF forum
2 giving us some further insight to this, that we can deal with
3 that.

4 I'd also like to just discuss briefly, MCI made a
5 reference to their request back to an account team to evaluate
6 a sample of orders, and the account team for Ms. Lichtenberg
7 has refused to do that. I want to make sure the Commission is
8 aware that this account team that she's referencing has worked
9 very diligently with MCI, has done numerous other samplings.
10 She's even made reference to one that which they got a lot of
11 insight to that assisted them. So this account team, I'm not
12 obviously privy of the specific conversation that took place,
13 but I can assure you that this account team is diligent in its
14 efforts of working with MCI.

15 I have also had the opportunity every now and then to
16 chat with members of that account team, and I know here from
17 what I thought was taking place was the account team wanted to
18 focus on taking a look at data, and based on the data, let the
19 data tell them where to go look to try to evaluate and identify
20 opportunities for improvement. So instead of maybe taking a
21 sampling -- and I'm not sure this is what took place in this
22 conversation, but they were proposing, let's use our data, and
23 let's use -- you've heard the old 80-20 approach. If we have
24 data that shows 80 percent of the issues are coming from
25 Point A, then let's don't spend any time on those Bs, Cs, and

1 Ds for the 20 until we get A resolved. That's what that
2 account team is trying to do instead of taking a look at
3 samples, is they want to evaluate some of the submissions from
4 the local service requests from MCI and see if there's a
5 particular area where they can go look and everybody can
6 benefit from that. But I know they're working diligently with
7 MCI, and I just wanted to bring to your --

8 COMMISSIONER DEASON: Excuse me. You indicated that
9 the account team preferred to look at the data as opposed to
10 doing a survey. Did I understand that correctly?

11 MR. PATE: As opposed to doing the sample that I hear
12 that Ms. Lichtenberg is discussing today. They have done many
13 samples in the past with them.

14 COMMISSIONER DEASON: Well, I guess my question is,
15 what data are they relying upon if it's not based upon some
16 sample? I mean, do you have data on the whole universe so that
17 a sample is not needed?

18 MR. PATE: They have data on the universe that they
19 can pull at least to identify a given area to go look, and then
20 within that area take a sample, because obviously they couldn't
21 look at the -- MCI gives us thousands upon thousands of
22 transactions. So, for example, if they were going to look at
23 the manual fallout, they would first -- if they could use their
24 data to identify the majority of the manual fallout was coming
25 as a result of a particular type of transaction, then pull

1 samples from those transactions to see if they could find out
2 what is the root cause within that type of transaction is
3 causing the manual fallout. Those are the approaches they
4 discussed with me. As opposed to trying to take a sample of
5 that whole universe of fallout, let's look to a particular type
6 because that's where the volume could at least be centered on
7 the data they have.

8 COMMISSIONER BRADLEY: Madam Chair?

9 CHAIRMAN JABER: Yes, go right ahead.

10 COMMISSIONER BRADLEY: Well, one question. What is
11 the reliability of the data if you're using sampling as
12 compared to hard numbers? I mean, you know, if you take a
13 sample -- if you do a sampling versus doing an actual account
14 and determining what the completion rate might be? I mean,
15 how are you -- what's the reliability of it?

16 MR. PATE: I don't think we're talking about
17 statistical samples here from being statistically valid. The
18 samples in the past is where MCI gave us the PONs, their
19 purchase order numbers, to go look at. I can't speak to how
20 they pulled the sample. So I don't think there's anyone that
21 can sit here in this room -- I know I'm not a statistician --
22 to say they were statistically valid, but it still was a good
23 intent effort on MCI as well as ours to get a sample that would
24 be representative.

25 COMMISSIONER PALECKI: Mr. Pate, I think that MCI

1 told us that they really wanted to look at the sample of orders
2 so they could see the reason that some of these orders had
3 fallen out to manual rather than being processed
4 electronically. And I think what I hear you saying is that
5 your account team is working on that and that they are planning
6 to get back with MCI with some further information, is that
7 correct, to help MCI make that determination?

8 MR. PATE: That's my understanding. I think some
9 members -- Mr. Ainsworth maybe can speak to trying to pull some
10 other information -- other sources just to help MCI. We have
11 numerous aspects trying to help MCI. But to answer your
12 question, the account team is, yes. And if that's not the
13 case, you know, if Ms. Lichtenberg has something different,
14 I'll be glad to talk to that account team myself because I can
15 do so to make sure --

16 COMMISSIONER PALECKI: Well, that's one thing I want
17 to make sure of, and I want your assurance that there will
18 continue to be communication with MCI to help them try to
19 identify why these certain orders are falling out so they could
20 fix their own problems and correct their own mistakes.

21 MR. PATE: Most definitely, Commissioner. I mean, we
22 both -- I think MCI and BellSouth has the same desire there.
23 We may be at discussion as to what the approach is, but I think
24 we have both the same intent and end result desire.

25 COMMISSIONER PALECKI: Thank you.

1 MS. LICHTENBERG: Mr. Commissioner, if I could
2 respond for MCI, and I appreciate your help here. We made a
3 very specific request. And this is the second request we've
4 made. The first request we made was in a conversation that I
5 had with our account team on August 30th, 2001. We asked that
6 they look at a sample of orders, any -- that they just go
7 around the LCSC and grab some orders that we submitted
8 electronically but that fell to manual, that they research
9 those orders and tell us why.

10 On October 3rd, 2001, approximately a month and a
11 half later, they responded to us. And we discovered that there
12 were certain flaws in the BellSouth systems that were causing
13 these orders to fall to manual. One of those is being fixed,
14 we understand, in May. We asked again specifically for exactly
15 the same work. We requested it January 10. In our meeting
16 last week, which would have been -- I believe it was the
17 February 15th meeting, we requested it one more time. The
18 response we received was this -- and I don't know what better
19 word to use but gobbledygook of getting low hanging fruit.

20 We found the review of 89 of our orders to tell us
21 absolutely specifically why they fell to manual to be a major
22 help to us. I would like exactly the same thing. And I
23 appreciate that Mr. Pate will go back and speak to our account
24 team and that I should be seeing that answer, I hope, next week
25 or the week after. So thank you for helping us with that.

1 MR. PATE: Can I just respond? I want to make one
2 point clear. I did not make any --

3 CHAIRMAN JABER: Let me go ahead and set the stage
4 here going forward. When you all sat down and thought about
5 the time periods for commenting on each of these sections, I
6 would assume, because Ms. Keating is really good and thinks
7 about all of this stuff, I would assume that that included time
8 periods for questions from Commissioners, and I'm sure that you
9 evaluated whether or not you'd have an opportunity to respond
10 to each other. So I would ask that you remember that I have
11 been flexible so far, but closer to 5:00, we will not be
12 flexible. Tomorrow is an agenda today, and that's the reality
13 of the situation. Go ahead.

14 MR. PATE: Thank you. I appreciate that. The other
15 thing I would respond was a comment made by Covad on the retail
16 ADSL. And it's my final comment. I'll pass over to
17 Mr. Ainsworth. Ms. Boone made reference to what BellSouth
18 offers from its retail standpoint and everything being
19 electronic and their conditioning and so forth. And some of
20 that's true, but that's not totally accurate as to what she
21 said. We offer a product, the Fast Access is what it's
22 referred to, on the BellSouth retail consumer offering. The
23 product is not guaranteed, and that product itself by not
24 guaranteed means even though there is a mechanized means to
25 prequalify the customer, we have an error rate in that that we

1 have shown through experience as high as 10 percent. We have
2 talked about this before, I think, in other proceedings before
3 this Commission. And when we incurred the error installation
4 at provisioning time, we tell them, I'm sorry, we cannot
5 provision this. We cannot install it. It's not a guaranteed
6 process.

7 Then there's another offering that's offered through
8 the network service providers that BellSouth sells its ADSL
9 through that they do have -- and I've forgotten the term, but
10 it is a business type of offering that guarantees the service.
11 So it's built in in the offering itself to go out and condition
12 the lines if that cannot actually be provisioned without such.
13 So it's built into the process. It's not that the conditioning
14 is built in up front as part of the service inquiry so much as
15 it's built in as a guarantee, and the rate's based on that.

16 With that, that's all of my comments, and I'll defer
17 to Mr. Ainsworth -- or Ms. Cox, obviously, before
18 Mr. Ainsworth.

19 MS. COX: Yes. I was just going to briefly address
20 the issue about the removal of the ADSL USOC from the line
21 before converting to UNE-P. Our ADSL service is a wholesale
22 service, so our customers for that service are network service
23 providers or Internet service providers. So we will sell the
24 service to those customers. Those customers then tell us which
25 of our telephone customers to put the service on on their

1 behalf. So the USOC that goes on our customer's telephone line
2 is really what we call a nonrated USOC. It doesn't generate
3 billing to the end user customer. The billing goes to the
4 network service provider.

5 And it's true that in order to convert to UNE-P, that
6 ADSL USOC does need to come off of that line. What we suggest
7 is when the ALEC would look at the customer service record they
8 can see the USOC. The end user needs to get with the network
9 service provider. We take our instructions from our customer,
10 who in this case is the network service provider, to remove the
11 USOC.

12 The original process for this was that upon
13 submission of a UNE-P order, the ADSL USOC was removed
14 automatically. And there was some concern about that.
15 Customers were losing their Internet access service, and so it
16 was brought to the change control process, a request to modify
17 that process. The current process is the result of that
18 request, and it was designed to enable the ALECs to work up
19 front with their customers so there would be no confusion about
20 the loss of the Internet access. That went in, I believe,
21 sometime last fall.

22 My understanding is, there has been another change
23 control process request, and it will be discussed at
24 prioritization in March to modify somewhere sort of between
25 those two that would allow an ALEC to submit a UNE-P order. It

1 would come back clarified. At that point, the ALEC would know
2 what the reason was. They could go to the end user, get that
3 resolved with their Internet service provider, or they could
4 elect to resubmit the LSR, and at that point, the ADSL would be
5 removed. So it's a process that has evolved. We've done it
6 originally in the way that it seems like we hear here that
7 would be preferable; however, for whatever reason, it was not
8 preferable. We made a revision, and now we're looking at it
9 again.

10 But, Commissioner Deason, I believe you had asked how
11 does the service get on the line. We take the request from the
12 network service provider, is who we sell the service to, and
13 that's who we would send the bills to. I believe Mr. Ainsworth
14 is going to discuss it a little bit further.

15 MR. AINSWORTH: Okay. I'm going to talk about the
16 manual processing. And, first of all, I'd like to say that
17 absolutely the manual processing does work. As we're going
18 through the process, I'll try to pick up and I may have to go
19 back to my notes to finish and make sure that we have responded
20 to all the issues that I have made note of, but initially, as
21 soon as the slide comes up, we'll talk about ordering; we'll
22 talk about the PIC freeze. PIC freeze being the end user's
23 capability to initiate a notation on their account not allowing
24 service transition of their local service for interexchange
25 carrier service which is a PIC without their concurrence. That

1 certainly is something this Commission is familiar with, and it
2 certainly is for the protection of the end user.

3 Methods of removal of the PIC freeze is: The end
4 user contacts the retail business office to request to remove
5 the freeze; three-way call with BellSouth business office, end
6 user and alternative local service provider; written
7 documentation to business office for authorized agent to
8 represent the end user. Those are the methods that they can
9 remove that PIC freeze.

10 CHAIRMAN JABER: Ms. Keating, may I ask you a
11 question on the PIC freeze removal? Didn't we last year
12 sometime ask the Staff to conduct -- I can't remember if it was
13 a Staff workshop or that we asked you for a Commission workshop
14 on precisely this issue?

15 MS. KEATING: I'm not recalling that in particular,
16 but I can certainly check on it and make sure.

17 CHAIRMAN JABER: Okay. If you would, please --

18 MS. KEATING: Certainly.

19 CHAIRMAN JABER: -- because something in the back of
20 my mind is -- I thought we had asked you all to work on it, and
21 I just don't know what the status of it is. I don't know if
22 you've had a Staff workshop.

23 MR. AINSWORTH: Continuing? Okay. In looking at
24 some of the analysis, we only had two PONs -- only one of two
25 PONs provided could be identified dealing with particular

1 issue. An analysis of Florida Digital Network examples, the
2 examples that I'm trying to communicate here did not -- the end
3 user did not have a record of call concerning the removal of
4 the freeze within the BellSouth business office documentation
5 that we could review in this case prior to 1/11. And the
6 rationale here or the point being made here, in the
7 documentation on the analysis, it was that that was trying to
8 be removed earlier, but we actually did not -- or were not able
9 to determine a call requesting that until that particular date.

10 And at the time, a three-way call was initiated with
11 the end user and a Florida Digital agent which occurred that
12 resulted in an order being issued to remove the local freeze.
13 And at that particular time, Florida Digital then processed an
14 order and it was completed on 2/1. So we did see that process
15 take place, just not in the time frame as was alluded to in
16 some of the data that we had, and that could be actually
17 something that Florida Digital may have presumed also and just
18 did not occur. I'm not sure of why that time frame took place.

19 Looking at ADSL that Cindy had just talked about,
20 ADSL removal delaying migrations. ALEC pre-migration
21 responsibility, and the ALEC is responsible for validating
22 against end user records and determining if ADSL exists prior
23 to migrating end user accounts. A request should be submitted
24 by the end user to the Internet service provider for the
25 removal of ADSL to allow migration activity to be completed.

1 Clarifications will be issued in the cases where ADSL has not
2 been removed prior to submission of an order.

3 COMMISSIONER PALECKI: What does that mean
4 "clarifications"?

5 MR. AINSWORTH: Clarification means that if they
6 submit an order, ADSL is still on that order. We will clarify
7 an order back for them to validate that and get that order
8 clear for the ADSL, and we're talking about in moving that over
9 to a UNE product.

10 BellSouth documentation indicates that requests were
11 processed by the retail unit on the date that was documented in
12 the data that we reviewed in the analysis, and also, one thing
13 that I am happy to report here today is that currently
14 BellSouth is trialing an enhanced process to assist ALECs to
15 reduce the delays with ADSL. And I can tell you that we are
16 working with one CLEC, and within the last two weeks we have
17 initiated an additional process, a contact process, and will be
18 evaluating that process. And once we formalize that, we will
19 roll it out to all the CLECs. This is an enhancement to try
20 and more expediently remove the ADSL USOC where we encounter
21 that on the processing of their order. So we have only been in
22 this about two weeks, and we really don't have enough
23 information right now to know that we have a final product or a
24 final process there that we think will be satisfactory to both
25 parties.

1 Manual errors. Analysis of 19 alleged service order
2 errors provided to BellSouth by AT&T indicated that nine of the
3 orders did not contain errors and one order was canceled. One
4 order was not found, and the remaining eight orders had service
5 order errors. Again, if you look at these orders, this was
6 really a period through June through December. And based on
7 the order volume for AT&T, this represents a very insignificant
8 number, a very small number, in that process.

9 Additional analysis of 500 lines performed by
10 WorldCom revealed a 2.5 percent error rate. That was, I
11 believe, their documentation on that. In other words,
12 BellSouth had a 97.5 percent accuracy rate based on WorldCom's
13 audit. BellSouth contends that a smaller portion of these
14 errors are related to actual service orders.

15 Manual errors, we have done several things to reduce
16 those -- any manual handling errors that may be encountered, so
17 we've put several quality controls in place. We have a
18 regional quality group today that samples orders and does
19 quality reviews in that process. We also have a service order
20 quality review group in each of the LCSCs which are reviewing
21 orders and feeding that process back to the service reps and to
22 their management team and also the customer support center call
23 analysis group in Jacksonville actually taking calls from the
24 CLEC and questioning clarification and other issues is running
25 analysis and also providing feedback in that process to the

1 centers and also feedback to the customer support managers and
2 the account team even indicating reasons and rationale for why
3 the CLECs would be calling the center to question a
4 clarification or service order errors.

5 Just to note, service order accuracy on the SQM for
6 November was 96.28 and December 95.79 which really provides
7 support for the fact that these controls and these quality
8 controls we've put in are having an impact and they're having a
9 positive impact.

10 Serial clarifications. LCSC clarification process is
11 to validate an order, an LSR, for all errors prior to
12 clarification. There are limiting factors in that and that is
13 the point of what type error we're dealing with. In some
14 situations that would not allow them to go beyond the process
15 to a certain point on the order based on the type error that
16 were submitted.

17 And the other thing is that the number of ALEC
18 errors. If you realize that or you understand that on
19 clarifications we're really clarifying back what is in most
20 part CLEC errors, then we are actually looking at that LSR
21 trying to resolve those processes or trying to resolve those
22 errors completely. And the service process for the service
23 representative is to go through that order completely and try
24 to identify every error it can. But again, we need the CLEC
25 support in that to make sure when they transit -- when they

1 actually initiate these LSR requests, that they're making the
2 same commitment to validate those LSRs and the quality of those
3 LSRs that come across. And also, on any resubmission of LSRs,
4 they have a responsibility also in that mode to do a quality
5 analysis check also and to validate that they have eliminated
6 any error that they can identify.

7 ALEC error process. We had one example provided
8 which was not a serial clarification. Initially, in this case,
9 just as an example, it was an auto reject up front, and then it
10 was a clarification or a manual clarification after the LSR was
11 resubmitted, so that really was not a manual serial
12 clarification. It was two submissions from the CLEC but only
13 one manual clarification. The up front fatal reject actually
14 returned that order from the initial response from the CLEC.

15 Again, BellSouth quality controls. I take you back
16 to the fact that we're looking at that in the customer support
17 center call analysis group. We're attempting to determine what
18 are the reasons for those. We're trying to feed that back, and
19 we're doing monthly and quarterly reports on there to identify
20 the cause of the calls that are coming into the center. The
21 intent here is, one, to help reduce the amount of errors we're
22 having overall on the orders, and the other one is certainly
23 from a BellSouth perspective to reduce the number of calls for
24 those type issues into our centers.

25 Invalid clarifications and rejects. An analysis for

1 the period December through early February, Network Telephone
2 presented 113 examples of alleged invalid clarifications. We
3 sampled 35 of the 113 and determined 23 were clarified
4 correctly. And I will just point out here that I think part of
5 that process was where they were showing invalid clarifications
6 involving the ADSL issue which in the process that we are in at
7 that time, those would be valid clarifications, but I just
8 wanted to mention that because I do think we have a process in
9 place that is going to reduce that issue.

10 When compared to the estimated number of
11 clarifications for December and January, the clarification
12 rejects would be correct in this case as 96.9 percent of the
13 time. And I guess the point here is, when you look at the
14 clarification rate and the numbers that are being clarified
15 back versus the amount of errors we're seeing on
16 clarifications, BellSouth certainly is in the smaller number of
17 that, very significantly smaller than the errors we're looking
18 at.

19 Invalid clarifications/rejects. Analysis: AT&T
20 cited 203 orders that were incorrectly clarified as a result of
21 a USOC problem. We agree and while that's true, a system
22 defect -- and I believe that was mentioned today by AT&T -- was
23 identified on 11/9 of 2001. And it was related to a 1FB to MFB
24 USOC class of service change, and a fix was implemented on
25 10.2.1 release on 11/17. And this resolved the major

1 clarification issue on the examples provided by AT&T.

2 Florida Digital provided three examples of alleged
3 invalid clarifications for January of 2002. Two of these
4 examples were clarified correctly -- I'm sorry, it was three
5 examples. Two of these were clarified correctly, and one was
6 clarified in error. The average clarifications for Florida
7 Digital are approximately 128 per month. Therefore, again,
8 we're clarifying properly 99 percent of the time in the
9 examples if you look at the total clarification rate.

10 Again, when you look at BellSouth quality controls,
11 customer support center call analysis again is one of the main
12 processes we're looking at here to try to improve that process,
13 identify any deficiencies that may be on BellSouth's part, and
14 implement changes to address those issues.

15 COMMISSIONER DEASON: How did you come to the
16 conclusion that 99 percent of the FDN clarifications were
17 accurate?

18 MR. AINSWORTH: I'm sorry?

19 COMMISSIONER DEASON: How did you determine that your
20 99 percent --

21 MR. AINSWORTH: We just -- I'm sorry, Commissioner.
22 We looked at the volumes that they had sent, and we looked at
23 what they said were clarified in error versus what was
24 clarified. So, you know, just logically looking at that we
25 would assume that the others were clarified correctly and not

1 clarified in error.

2 COMMISSIONER DEASON: Did you review all 128?

3 MR. AINSWORTH: I'm sorry?

4 COMMISSIONER DEASON: Well, I'm just -- I'm a little
5 confused. You indicated that there were three that were
6 provided, and you determined that two were clarified correctly
7 and one incorrectly, and then you conclude that 99 percent of
8 the clarifications are accurate.

9 MR. AINSWORTH: Right. All we're saying is that out
10 of the ones that we sampled, when we perform the sample, we
11 just calculated it back up to the number of clarifications that
12 were issued and came up with that number. I mean, that's just
13 a sample and a projection.

14 COMMISSIONER PALECKI: But that's just for the month
15 of January, not for every month.

16 MR. AINSWORTH: That's correct.

17 Partially mechanized FOC timeliness. Partially
18 mechanized orders are requests that are entered electronically
19 and are distributed to the LCSC for manual firm order
20 confirmation processing. Service order SQM or the service
21 quality measures have been established by the Public Service
22 Commission to assure timely processing. The present SQM for
23 Florida is ten hours for FOC processing of partially mechanized
24 orders.

25 Also, there was a comment from WorldCom that was

1 about the communication between the LCSC in the Jacksonville
2 customer support operation, and Jacksonville, as you're aware,
3 acts as a customer support center contact for Birmingham and
4 for Atlanta. The advantages I'd like to point out here are the
5 efficiencies in handling the FOC and the reject interval,
6 reduce answer time, and also allows Birmingham and Atlanta to
7 focus on processing orders in an expedient manner.

8 If you can recall with me and go back to a little
9 history, we started out with 36 hours FOC. We went to 24. Now
10 we're at 10 hours FOC. So as you reduce these type timetables
11 for processing in a manual world, you need to gain
12 efficiencies. And one of the methods to do that was
13 implementing the Jacksonville center to support those centers
14 for taking calls, customer support calls. Absolutely, as we
15 reduce that time, we need to not interrupt the work activity
16 that's going on in Atlanta and in Birmingham. And it's been a
17 very good process. We feel very strongly about it. And we
18 think the Jacksonville center is certainly doing a great job in
19 the analysis process.

20 Again, their quality enhanced process, they track and
21 they document assistance calls, provide input to the LCSCs for
22 quality improvement, and they provide CSMs and account teams
23 with ALEC issues.

24 The customer service record update, Florida Digital
25 Network and Network Telephone complained of delays in CSR

1 updating. And I think we had talked of this earlier in other
2 collaboratives. And the CSRs should -- updates should occur
3 within a 24- to 72-hour period after the completion. This is
4 at parity with retail which has already been stated. In the
5 analysis we performed on CSRs out of 498 examples provided by
6 Network Telephone for December and January, over 50 percent
7 meet the 72-hour interval. And that was just based on what was
8 supplied according to Network Telephone's own data.

9 BellSouth's analysis on the sample of the other 50 percent
10 indicate that only 5 were outside the stated 72-hour period.
11 Again, my staff did the analysis. We'll be certainly happy to
12 sit down with Network Telephone and look at that in detail if
13 they would choose to do so. We would certainly welcome that.

14 Florida Digital alleged CSRs again with a CSR with
15 pending orders are not being processed efficiently. The end
16 user here is responsible for contacting BellSouth to cancel any
17 pending orders -- we talked about that earlier -- for BellSouth
18 service. BellSouth's analysis indicates that end users made
19 additional requests for BellSouth services after having told
20 FDN they wanted to migrate the service to Florida Digital.
21 Again, that was a comment I had made earlier to where when you
22 look at the documentation trying to resolve those issues trying
23 to get the CSR updated -- or on the CSR that we found, that
24 additional contacts are still going between the end user in
25 some cases and the retail units. The discussion we had

1 earlier, we certainly welcome the opportunity to work with the
2 CLECs in that manner to try to come to a better process
3 collectively in trying to resolve that pending order issue, and
4 we certainly will be available to do that.

5 CHAIRMAN JABER: Mr. Ainsworth, you know when we were
6 talking earlier about the ADSL USOC -- I can't remember if it
7 was Ms. Cox or Mr. Pate -- the customer -- the BellSouth
8 customer is the ISP. So you count on the ISP to tell you to
9 put on the ADSL USOC or to cancel it.

10 MR. AINSWORTH: That's true, yes.

11 CHAIRMAN JABER: Now, analogize that with this
12 situation. You're not with the ADSL USOC. You are not
13 communicating with the end user, nor is the end user
14 communicating with you to take ADSL service off of their line.
15 With the pending service orders, you want the end user to
16 communicate with you. I fail to see the difference between the
17 ADSL USOC and this situation.

18 MR. AINSWORTH: Well, actually, in the ADSL situation
19 when the CLEC were to identify that, they still should have
20 that USOC -- or they still should have that service removed. I
21 think the process is really more than one situation that could
22 occur. One is, they do have ADSL, and they need to have it
23 removed so the service can be transferred. That would be the
24 end user notifying whoever that ISP is that they want to remove
25 that service. That's one process, and that's just the same as

1 the service order process.

2 CHAIRMAN JABER: Okay. But on the service order
3 process, you want the ALECs to treat it differently. We
4 discussed earlier why the ALEC couldn't just contact you and
5 represent that the customer wants the pending service order
6 removed or, you know, that the service order had been
7 completed; therefore, allow the customer to migrate into the
8 competitive provider network. Does that make sense? I'm not
9 being very articulate. Do you understand the question?

10 MS. COX: Let me take a stab at it. What we really
11 have in these two instances are, the customer is two different
12 people to BellSouth. In the ADSL USOC world, our customer is
13 really that Internet service provider. That's who we are
14 billing for the ADSL service, and so that's who would tell us
15 to remove it.

16 In the pending service order, the customer, the end
17 user is the person we would be dealing with on a particular
18 service. So I guess we're hearing from the customer in both
19 cases, it's just the customer is not the same person depending
20 on the service. I don't know if that made any sense.

21 CHAIRMAN JABER: Well, isn't the ISP your wholesale
22 customer?

23 MS. COX: Yes.

24 CHAIRMAN JABER: And isn't the ALEC your wholesale
25 customer?

1 MS. COX: Yes.

2 CHAIRMAN JABER: So what's the difference?

3 MS. COX: Well, the network service provider is the
4 wholesale customer for the ADSL which is going over the high
5 frequency portion of the loop. When we're going to migrate to
6 UNE-P, the ALEC then takes the loop, and they have the whole
7 loop to do what they wish with. But we need to hear from the
8 network service provider. In other words, the ALEC doesn't
9 have the authority to speak for our network service provider
10 customer that they want that service disconnected. So the
11 current process is that we need to hear from that network
12 service provider. You know, it's been cases where we didn't
13 and that's been requested to be changed, and it's still a
14 process that's being looked at. But we hear from our customer
15 in both cases, it's just depending on the service. Our
16 customer might be an Internet service provider; our customer
17 might be what we think of as an end user.

18 CHAIRMAN JABER: What authority -- okay. I see the
19 distinction you're trying to make. You're saying that the
20 network service provider, the ISP, has received the authority
21 from that residential end user to represent the change in
22 service on Internet. How did you go through that process?
23 What authority did the ISP have to achieve, and why can't that
24 process apply for the ALECs on the pending service order side?

25 MS. COX: Well, in the case of the ADSL, the

1 customer -- the end user that would be making the decision
2 about the telephone service, their service provider is the
3 Internet service provider. They don't really have a
4 relationship with BellSouth. They are going through an
5 Internet service provider, so that's who they have their
6 relationship with. And that's who would decide -- they would
7 work out between the two of them whether or not they're going
8 to continue to get Internet access service. If they say they
9 are not, then the Internet service provider would call us and
10 say, you can go ahead and take that off the line. I no longer
11 need it to provide service to this customer. There's not the
12 same sort of circumstance in the ALEC. We have the
13 relationship with the end user for a pending service order
14 could be the case.

15 COMMISSIONER DEASON: What about a situation where
16 the customer wants to maintain that Internet service but they
17 want FDN to basically be coordinating that? How do they go
18 about accomplishing that?

19 MS. COX: It could be done a couple of ways. The
20 first, FDN could enter into a line splitting agreement with an
21 Internet service provider, and in that way, they would be able
22 to provide the voice on the low frequency portion of that loop,
23 and then they could provide -- an Internet service provider
24 could make use of the high frequency portion to make -- to
25 provide service to the end user.

1 They could make use of a resold line. In which case,
2 the ADSL USOC would stay on the line because at that point the
3 ALEC doesn't really have control of the full loop. So that
4 would be a couple of ways that -- or FDN could elect to use
5 their own Internet service provider and provide their own
6 Internet access service over that high frequency portion.

7 COMMISSIONER DEASON: But if the end use customer
8 wanted to continue service from their existing Internet service
9 provider who apparently they have a relationship with, for them
10 to continue that and to also have local service from FDN, just
11 repeat your answer. How do they do that?

12 MS. COX: One way would be if FDN is purchasing
13 resold lines, then the --

14 COMMISSIONER DEASON: Let's forget the resold. I'm
15 talking about a UNE approach.

16 MS. COX: Okay. Under the UNE approach, we are
17 required to facilitate what's known as line splitting, and that
18 enables two ALECs to split the functionality of the loop. So
19 FDN could enter into a relationship with an Internet service
20 provider and provide the full package in that way. Now, it may
21 or may not enable the end user to keep their exact same
22 Internet service provider, but it would be a means for them --

23 COMMISSIONER DEASON: Can that be accomplished
24 without a disruption in service to the Internet?

25 MS. COX: I don't know. I don't know.

1 COMMISSIONER DEASON: Can we go back to the slide?
2 On the slide, it indicates that BellSouth's analysis shows that
3 end users made additional requests for BellSouth services after
4 apparently indicating to FDN that they wanted FDN service. Why
5 would a customer do that? If they have contacted FDN and says,
6 I want your service, and then subsequent to that they contact
7 BellSouth and say, you know, I want to order something else on
8 my telephone service, why would they do that?

9 MR. AINSWORTH: I mean, that's a great question.
10 When we saw some of that, as a matter of fact, we had the same
11 discussion of why that would be taking place. And, you know,
12 we don't know if that had already taken place or if in the
13 business aspect where you're dealing with small business or
14 business type individuals out there, they have multiple people
15 that are making those -- can you hear me okay? I mean, I'm
16 getting feedback. There may be multiple people that are
17 involved in that process, and I don't -- you know, I don't
18 really know in that situation if they're communicating
19 internally or if there's something else going on, but it would
20 be more likely to happen in a business scenario than in a
21 residential scenario, I think. But we asked the same question
22 to ourself as we looked at that data.

23 COMMISSIONER PALECKI: But wouldn't the correct
24 response from the BellSouth representative in that case be to
25 say to the customer, you're now an FDN customer, you'll have to

1 call them and ask for that change of service?

2 MR. AINSWORTH: In regard to?

3 COMMISSIONER PALECKI: If they made additional
4 requests for as we were talking earlier -- what was the name of
5 that?

6 CHAIRMAN JABER: Hunting.

7 COMMISSIONER PALECKI: Hunting. If they called after
8 they have already --

9 COMMISSIONER DEASON: Commissioner Palecki would
10 probably prefer fishing as opposed to hunting, but --

11 (Laughter.)

12 MR. AINSWORTH: I think it just -- it takes us back
13 to the same conversation we had earlier. At that point, it's a
14 pending order, which I'm assuming we can agree on here, and
15 we're trying to clear that order. So from that process, that's
16 why -- or that's the part that we're going to have to look at.
17 I mean, from our standpoint, we're looking for the end user to
18 clear that order.

19 COMMISSIONER PALECKI: Let me ask someone from the
20 CLEC community. If there's a pending order to BellSouth, do
21 you have any problem whatsoever with BellSouth switching over
22 that customer and making that request for whatever change of
23 service to hunting or whatever else, call forwarding, call
24 waiting, to making that your responsibility? From thereon in,
25 they're your customer, and BellSouth does not have to deal with

1 that.

2 MS. LICHTENBERG: MCI would very much like to see
3 that, Commissioner. We believe that in this specific case if a
4 customer has started the migration process by issuing an order
5 to the CLEC, that that pending order should keep BellSouth from
6 making changes and the migration should continue and the
7 customer should get what he ordered.

8 COMMISSIONER PALECKI: So you have no problem with
9 doing whatever work is necessary to complete the requests that
10 they have previously made to BellSouth?

11 MS. LICHTENBERG: Absolutely not. When the customer
12 comes to us in a residential environment, we provide to
13 BellSouth a complete list of what we want for that customer,
14 and that would include whatever the customer decided with us.
15 So we would want that request to be completed.

16 CHAIRMAN JABER: Ms. Lichtenberg, as a follow-up,
17 when you have a customer that calls you that's pursuing the
18 option of your services, how do you even know what price to
19 quote them if you don't have a very good handle on what
20 services they are getting from BellSouth or another CLEC?

21 MS. LICHTENBERG: That is a very good question,
22 Madam Chairman. We talk to the customer and try to understand
23 from the customer what features they've got. Prior to having
24 the ability to use the parsed CSR and again not wanting to have
25 to have two terminals and two sets of functionality on

1 everyone's desktop, we've had to walk through that with the
2 customer. We have a script where we ask a number of questions
3 and we explain the features. The customer tells us what
4 features we want and that's -- what they want; that's what they
5 order.

6 Sometimes they forget something. You may be the
7 decision maker, but you don't know that someone else in your
8 household at one point decided to add call waiting. So you may
9 not tell me that. Later, you may call me back and say, you
10 know, I made a mistake. I also need call waiting. In that
11 case, we will go ahead and provision that as well.

12 CHAIRMAN JABER: You also don't know if they don't
13 have services that they might have alleged that they have.

14 MS. LICHTENBERG: Absolutely correct. We only know
15 what they can tell us and what we see on the CSR. And if the
16 CSR is not correct and if the customer tells us he doesn't have
17 ADSL, then all we know is that he doesn't have ADSL.

18 CHAIRMAN JABER: Mr. Monroe.

19 MS. CONQUEST: Could I share an IDSL experience
20 briefly, please, that we had.

21 CHAIRMAN JABER: Yes. Let Mr. Monroe go first. He
22 was actually up next.

23 MR. MONROE: In response to the question, I agree
24 with Sherry, absolutely, correct. If there is a pending order
25 to add a feature -- again, we're speaking of hunting with

1 BellSouth -- we would still take that customer over, and we
2 would give them a hunting package or agreement with us. So in
3 response to the question, absolutely, we will take that
4 customer if there are pending orders, provided it's a pending
5 order that is something that -- or a product that we actually
6 have that we can offer to the customer.

7 If it is something that we cannot offer to the
8 customer, obviously we will go back to the customer and say,
9 this is something that we cannot do. Are you still interested
10 in porting your service over to Florida Digital? If so, we'll
11 take that customer even though there is that pending order out
12 there.

13 Yes, sir.

14 COMMISSIONER PALECKI: If it's a service that you
15 don't do, would it be to your benefit to have BellSouth put
16 that service in place before they transfer the customer over to
17 you?

18 MR. MONROE: Not necessarily. If it's a service that
19 we don't provide, we would not provide it whether Bell does or
20 whether Bell does not provide it. What I mean by that is, if
21 the customer goes ahead and completes out that request with
22 BellSouth, we still won't provide that service. If it's not a
23 product that we actually have, whether Bell completes that
24 service for the customer or not, we won't have that particular
25 product. So again, say that they do add Product A, what the

1 customer was looking for, it's not something that we actually
2 service or provide, we will go back to the customer and say,
3 I'm sorry, Mr. Customer, this is not something that Florida
4 Digital can do for you even though you did complete this order
5 out with Bell.

6 COMMISSIONER PALECKI: Thank you.

7 CHAIRMAN JABER: Ms. Conquest.

8 MS. CONQUEST: Yes. I just want to make sure that
9 the Commission understands that in the UNE-P offering that the
10 ALECs are prohibited from assuming a customer that -- has ADSL.
11 And ITC DeltaCom had a unique experience in that we had
12 converted several customers to UNE-P and were later notified by
13 our account team that BellSouth had converted about 24 of those
14 customers after they became our customer and put ISP traffic on
15 those services. So our approach was, since we know the service
16 works, the customer had had it for several months, even though
17 you say in your regulatory documents we can't do this, why
18 can't we amend this process? We know it works. Why are we
19 penalizing these customers just for a policy statement?

20 The response to ITC DeltaCom was, it isn't that the
21 services don't work. It is our policy that you cannot have the
22 ADSL on the UNE-P services. So we were required to do -- we
23 had two approaches. We could either tell the customer they
24 could revert back to BellSouth. We could convert them back to
25 resale. And actually, all of this occurred through no fault of

1 our own. We never saw the orders. We knew nothing about it
2 until the account team notified us. So I think we should ask
3 why ADSL is prohibited for UNE-P customers. Why restrict us?

4 COMMISSIONER PALECKI: I think we have an open docket
5 on that issue right now.

6 MS. CONQUEST: Okay.

7 CHAIRMAN JABER: BellSouth panel, were you done?
8 Mr. Ainsworth.

9 MR. AINSWORTH: I'm sorry?

10 CHAIRMAN JABER: Were you done with your panel --

11 MR. AINSWORTH: No, I had a couple more things.

12 CHAIRMAN JABER: Go ahead.

13 MR. AINSWORTH: Just following up on that -- I think
14 the last part of that, again, I want to take you back to the
15 controls we have in place there and the things that we're
16 looking at in those processes. And again, we're -- we've done
17 a lot of work in this area and we continue. We have all three
18 of these quality groups support that effort in trying to move
19 through that process to identify and put any kind of process
20 improvements that we need to look at or either get that
21 information back to the LCSCs for rep development in that
22 process to make sure that service order accuracy is indeed at
23 an acceptable level, that we're performing at an acceptable
24 level.

25 I'd like to talk about -- make sure that I have

1 looked -- in the process I know MCI made the comment from a
2 training aspect, and I'd just like to make a brief comment on
3 that. First of all, I adamantly disagree that we have
4 untrained reps in the LCSC. I would, however, agree that
5 they're not electronically trained to answer electronic
6 questions on processing. That belongs to our EC support group,
7 and that's where that information should be pointed to. Their
8 point is to process manual orders and to efficiently process
9 those orders, and they are not the electronic SMEs, and
10 therefore, they are not the contact for those type of
11 questions. I believe that's all I had.

12 Al, did you have a comment?

13 MR. VARNER: Yes. Back to the beginning, I guess.
14 On a couple of things concerning flow-through on a Network
15 Telephone chart I wanted to comment on. This won't take very
16 long. First, there was, I guess, a chart that put out a
17 bunch -- listed a bunch of flow-through rates for Network
18 Telephone, several months -- I think April through December is
19 what was listed -- comparing their flow-through to a line that
20 said BST. That's the performance for the CLEC aggregate. It's
21 not a BST flow-through number. We don't really have a
22 flow-through number. We have tried to come up with one
23 different times, but that's actually performance for the CLEC
24 aggregate.

25 Another thing I wanted to point out is that when

1 you're looking at those, the numbers that are compared are
2 Network Telephone versus the aggregate of all flow-through
3 which is resale and UNEs. Network Telephone, however, is
4 largely UNEs, and our flow-through rates, as well as every
5 other region's flow-through rates, tend to be lower for UNEs
6 than they are for resale. In fact, when you compare us to the
7 other regions, we're a little bit better on flow-through to
8 kind of put this measurement in perspective and put the
9 performance in perspective to where the other regions are. We
10 tend to be higher on resale and about the same as everybody
11 else on UNEs. So when you're looking at these flow-through
12 rates, that kind of gives it a little bit of a perspective.

13 The other thing I wanted to kind of point out with
14 flow-through is that in looking at flow-through, you always --
15 and evaluating its meaningfulness, I guess, you have to look at
16 it in conjunction with a couple of other measurements. What it
17 says is that if you have a fairly high flow-through rate, you
18 don't have as much manual processing. If the flow-through
19 rates are not as high, you have more manual processing. So
20 then the question becomes, how are you doing on processing
21 these orders that you're getting manually? And the way you
22 look at that, and the way the FCC has tended look at it, is you
23 look at your performance on FOC timeliness for these
24 nonmechanized orders and service order accuracy. And we're
25 doing well on both of those. We consistently meet the

1 benchmarks on FOC timeliness that says that when these orders
2 fallout and are handled in the centers, they are returned in a
3 timely fashion, they're processed in a timely fashion. And on
4 service order accuracy, we're running in 90, 95 percent range;
5 that says that not only are they performing in a timely manner,
6 they're being performed accurately.

7 Now, what that says is that, okay, even if the
8 flow-through rates are not up to a very high level, that what's
9 happening when these orders do fallout, is they're being
10 processed timely and accurately which is ultimately what you're
11 trying to achieve. What you're trying to achieve with
12 flow-through is timely and accurate processing of orders.
13 Obviously, it goes faster if they're mechanized, but the fact
14 of life is, not everything is mechanized.

15 COMMISSIONER DEASON: Do you have a performance
16 standard for those orders that are done manually?

17 MR. VARNER: Yes, we do. They are the FOC timeliness
18 nonmechanized and partial mechanized standards. I think the
19 Commission right now for the KPMG test, I can't remember the
20 benchmarks for them, but they are in the SQM that KPMG is using
21 to evaluate our performance. And this Commission recently set
22 benchmarks for those in the order that's supposed to be
23 implemented with May data. And I think they're --

24 COMMISSIONER DEASON: Was it ten business hours? Is
25 that --

1 MR. VARNER: No. This is partial mec. Those are the
2 new ones. I was looking at the ones that's in existence now.
3 I think the ones in existence now is about 85 percent within --
4 I believe it's 24 hours, I believe, for the FOC timeliness, and
5 service order accuracy is a 95 percent accuracy rate.

6 COMMISSIONER DEASON: Are you meeting those?

7 MR. VARNER: We're consistently meeting the FOC
8 timeliness. The service order accuracy we're running between
9 90 to 95.

10 I think that was essentially -- oh, the last thing I
11 wanted to mention was a comment from AT&T about the June, July,
12 and August flow-through data. We disclosed that we did have
13 some problems with the initial postings of those data. It had
14 gone back, corrected, reposted. Since that time, I know of no
15 issues that anybody has raised with that data or any reason to
16 believe that it's not accurate. That's all.

17 CHAIRMAN JABER: Thank you. Any other panelist for
18 this panel, Mr. -- is it Ainsworth or Ellsworth?

19 MR. AINSWORTH: Ainsworth.

20 CHAIRMAN JABER: Ainsworth. All right. We are ready
21 to move to the third topic. Big number three.

22 COMMISSIONER DEASON: We were supposed to be here at
23 11:25.

24 CHAIRMAN JABER: Two and a half hours ago, two hours
25 ago. All right. Provisioning.

1 MS. BOONE: Madam Chairperson, could I -- before we
2 start on the provisioning panel, a couple of requests from this
3 side. As you know, we are required to provide PON-specific
4 information to BellSouth in advance.

5 CHAIRMAN JABER: Yes.

6 MS. BOONE: And you've seen some response here. We
7 were wondering if we could get the data that they use to do
8 this response. We could continue with the dialogue.

9 CHAIRMAN JABER: You mean after the workshop?

10 MS. BOONE: Right, just have them provide it to us,
11 whatever they used to create their analysis here on the screen.

12 CHAIRMAN JABER: BellSouth, that's a reasonable
13 request.

14 MR. AINSWORTH: Sure.

15 CHAIRMAN JABER: Because I don't want this to come
16 back to the Prehearing Officer, how about we say within
17 seven days of today, you provide that information to the ALECs?

18 MS. BOONE: Okay. We are ready to move on to the
19 provisioning panel now. I think we've touched on a lot of the
20 issues, so we are going to -- we are conscious of the time,
21 Madam Chairperson, and we are moving -- we'll move quickly
22 through them. I believe Ms. Lichtenberg will begin.

23 MS. LICHTENBERG: Yes. Let me start by saying that
24 the provisioning issues are the issues that really touch the
25 customer. That I send an order -- I find out what the customer

1 wants; that's called preorder. I send that order, and
2 sometimes it rejects, and sometimes it gets through. And when
3 it does get through, the order needs to be provisioned. And
4 what that means is that the features and the functions and the
5 long-distance CIC code and the intraLATA routing all need to be
6 provisioned, translated is another word that's used, in the
7 BellSouth switches so that the customer gets what the customer
8 asked for.

9 Mr. Ainsworth cited my data, which was a random
10 sample of service order accuracy, on 500 of our customers for
11 one month stating that after all only two and a half percent
12 got the wrong things. They got the wrong intraLATA -- the
13 wrong intraLATA carrier. They got the wrong features, or they
14 didn't get a number of features. They got the wrong interLATA
15 carrier. And in a number of cases, they weren't able to block
16 calls to things like Ms. Whatever-her-name-is psychic hot line.
17 So they were provisioned inaccurately enough to make customers
18 run up large bills that they didn't know they were going to run
19 up.

20 Provisioning accuracy is measured in -- by BellSouth
21 similarly to the way I do it, but they use fewer orders, and
22 they use all types of orders. When I look at that two and a
23 half percent, by the way, based on the number of customers I
24 have across the BellSouth footprint, that's close to 4,000 who
25 were provisioned wrong. And the only way that we know about

1 that is when the customer calls us to complain, or we or
2 BellSouth find something in a random audit. We've been
3 providing examples to BellSouth of provisioning errors since
4 our launch in May, but I'm confident that Mr. Ainsworth will
5 have answers to those in BellSouth's rebuttal panel. That will
6 be good because it's almost a year later.

7 We find that these are the most disconcerting
8 customer problems of all, and they are problems that require us
9 to make multiple calls to BellSouth. If a customer calls up
10 and says, my call waiting is not working, I issue a trouble
11 ticket because I assume that his call waiting is broken.
12 BellSouth will then tell me, no, no, we didn't provision it, so
13 now you need to call the LCSC and issue an order, and by the
14 way, it will take a couple of days to get that to work.

15 Again --

16 COMMISSIONER DEASON: Excuse me. Do you verify that
17 you're billing the customer for call waiting?

18 MS. LICHTENBERG: Yes, sir, we do. We pull our own
19 local service request in every single instance. When a
20 customer calls us, we can do that on-line internally in our
21 systems. We verify what we sent to BellSouth, and we then
22 assume -- and we would have been billing because we received a
23 service order completion, assuming that what we ordered was put
24 on the customer's account. We also --

25 COMMISSIONER DEASON: So you refer to that before you

1 actually issue a trouble ticket to BellSouth?

2 MS. LICHTENBERG: Yes, yes. All of our trouble
3 handling personnel have access into MCI's own systems which
4 will show them in an English language and a universal service
5 order code format exactly what we sent, when we sent it, and
6 when the completion was received by both telephone number and
7 purchase order number.

8 COMMISSIONER DEASON: Do you receive -- if you order
9 a service, you receive indications from BellSouth that it was
10 provisioned, and then you subsequently receive a complaint from
11 the customer that it's not working, and then you determine that
12 it was never provisioned to start with, do you get a refund
13 from BellSouth for that period of time that service was not
14 operational?

15 MS. LICHTENBERG: If I go back in and look at my
16 wholesale bill and if I can take out of the hundreds of
17 thousands of customers I've got that specific customer number,
18 I can open a dispute with BellSouth to try to get that money
19 back.

20 COMMISSIONER DEASON: So you have to actually file
21 for that? It is not automatic.

22 MS. LICHTENBERG: It is not automatic. In certain
23 other operating companies such as Verizon, when the completion
24 is returned to us, the information I talked about before, the
25 billing completion, it actually shows what it is that that ILEC

1 provisioned for the customer, so it can be compared right there
2 to the order. And if there are any issues, they can be
3 resolved for every customer.

4 We have another interesting problem in terms of
5 errors in provisioning. Sometimes customers leave us, and we
6 at that point receive what is called a line loss notification
7 from BellSouth to say, this is no longer your customer. At
8 that point, we stop billing the customer, and we would expect
9 that we would no longer be billed by BellSouth and we would no
10 longer receive what we call daily usage records. That is
11 records of what the customer has dialed.

12 We have provided examples to BellSouth, a subset of
13 which were provided in this hearing, showing the receipt of
14 local calling data for customers who left us months earlier.
15 Now, this points to two things. Either the customer did not
16 leave us and the line loss was in error, but of course, we
17 stopped billing the customer, so he's getting free service, or
18 it took that long to update the customer service record, and
19 these are old records being sent to us, sometimes up to two
20 months later. Again, these are problems that need to be fixed
21 and that impact customers.

22 Another problem that we are having goes back to this
23 issue of pending service orders. We receive a reject saying,
24 you cannot migrate this customer. All records are final. Now,
25 that generally means the customer has no phone service, but

1 given the fact that he called us on the phone, we've got that
2 one taken care of. When we take that to the LCSC -- and
3 Fleming (phonetic) Island takes a while to answer the phone,
4 and a call generally takes about 25 minutes to try to get an
5 answer -- we are told in many of these cases that, no, the
6 customer hasn't left us. The CSR has not been updated. And in
7 one case last week, we were told that it normally takes at
8 least five days to update that CSR. So again, there is some
9 question of what these help desks are actually telling us. We
10 can't track down how that was handled because, of course,
11 Fleming Island does not allow CLECs to get a trouble ticket
12 number so that we could refer back to them and say, I called
13 you on Tuesday with Ticket 1234. What was the status of it?

14 These are all very troubling issues because these are
15 issues that impact customers. We want to work with BellSouth
16 on them, and we appreciate this Commission providing us a forum
17 to do that. It doesn't appear to happen that way on a daily
18 basis.

19 And let me note also before I pass the baton that
20 KPMG has seen similar problems in the excellent third-party
21 test being run by this Commission, translation errors, errors
22 in giving the customer what they want.

23 And I believe we go next to Covad.

24 MS. BOONE: Yes. I'd like to talk briefly about our
25 experience in the provisioning process with two of our three

1 types of loops. The first is the IDSL loop you've already
2 heard about. That's about 43 percent of our orders. This is a
3 loop that enables us to serve customers that are more than
4 18,000 feet from the central office, so it's not a
5 distance-sensitive technology which is good. And it also
6 enables us to provide DSL over fiber which is a big problem in
7 BellSouth because there is so much in fiber in Florida that's
8 particularly acute.

9 We've had the same sorts of problems with this loop
10 really since we got into business here in August of 1999. And
11 it kind of comes down to some basic provisioning realities, and
12 that is that when you have a loop that works over fiber, you
13 have a line card that's in the central office, and you have
14 another one that's out there in the remote terminal. And it's
15 really nothing more than the settings on these cards have to
16 match. And that's exactly the same when BellSouth provisions
17 its own IDSL service. I mean, it's the same process. It's the
18 same loop. It's the same everything. But we seem to have had
19 a lot of problems in getting those line cards situated
20 correctly.

21 As a result of the Georgia Commission's involvement
22 in the 271 process last year, a collaborative was formed with
23 BellSouth and Covad, and some new test scenarios have been put
24 in place toward the end of November, beginning of December, and
25 we have not yet seen whether that's going to yield results.

1 We're certainly hopeful, but if you look on Page 12 of our
2 presentation, that will give you a sense of sort of some of
3 the -- the magnitude of the problem. This is from BellSouth
4 reported data specific for Covad. That's part of the
5 performance measurements application platform, PMAP.

6 BellSouth missed 11 percent of installation
7 appointments in Florida on these loops in November. We have
8 3 percent troubles in 30 days, but then of those, we have
9 30 percent repeat troubles. And that's really where it comes
10 into. We've been doing a lot of research on closing out orders
11 to no trouble found, and in Georgia because the 271 process
12 BellSouth has put in place some mechanisms to automatically
13 call for a joint meet when the Bell technician would normally
14 say, oh, look, I can't find any trouble. So we're hoping for a
15 similar process here in Florida because that seems to have
16 helped a little bit in Georgia.

17 The next type of loop is line sharing. And again,
18 this is a very analogous service to what BellSouth Fast Access
19 retail service is, and that is, you've got an existing -- a
20 BellSouth voice customer. We're just using the high frequency
21 portion of the loop. We have this cool kit that we send out to
22 folks, or our ISPs send them, and they get it at home. They do
23 a couple of installations just like the BellSouth product
24 works, and the only work that's done by BellSouth is actually
25 done in the central office. So they don't have to roll a truck

1 or anything like that. So it's a lot faster. It should give
2 customers a lot more of a timely DSL installation. And we have
3 a contract that entitles us to a three-day loop interval, and
4 we're getting five days currently. And again, there's no truck
5 roll involved. It's literally doing cross-connections in the
6 central office. That's the entire work effort on the part of
7 the BellSouth.

8 In November, 36 percent of our orders had troubles on
9 them within the first 30 days, and of those, 30 percent had
10 repeat troubles. BellSouth missed 18 percent of repair
11 appointments. The average duration was 14 hours. And
12 recently, we have seen a problem with -- this goes back to the
13 preauthorization for conditioning that I mentioned in the
14 beginning, and that is, BellSouth will actually turn up line
15 shared loops to us and say, okay, we're done with that. We're
16 ready to hand it over, and it will show up. It will have a
17 load coil on the loop which means our service won't work. We
18 actually have to get them to go out there and remove that. But
19 what's interesting is that part of the BellSouth provisioning
20 process is supposed to be a test on the loop right at the very
21 end of the provisioning in the central office to look out to
22 the NID at the customer's house and see if there are any load
23 coils. And that seems to have broken down.

24 It also shows that there are quite substantial errors
25 in the loop makeup because obviously we do a loop makeup test

1 before we even provision the loop. This is sort of
2 symptomatic. Also, on stand-alone DSL loops, we have got some
3 delays. If you want to look -- it's interesting if you want to
4 compare what Covad gets in terms of an installation. You have
5 to actually add the FOC interval plus the order completion
6 interval. Most ILECs measure from when we sent in an LSR to
7 when the order is actually installed, and that measures the
8 entire experience -- the entire period of time that BellSouth
9 has the loop. But under the way the measurements are in
10 BellSouth, we have to add two of those together, and as a
11 result, the customer experience for Covad's customer is a much
12 longer installation.

13 I believe Network Telephone is next. Thank you.

14 MR. KOPYTCHAK: Thank you. I'd like to kind of go
15 back on clarifications because when I was going through
16 ordering, I hit clarifications. And if you look at Page 12 of
17 our handout, we actually had it in there. And I believe that
18 Mr. Ainsworth took a sample of the 113 orders that we sent in,
19 and he sampled 35 of them and said 26 were valid, meaning
20 9 were invalid.

21 This is what BellSouth typically does. They don't
22 give any resolve. They just come back with number, and I can
23 assure you that on the 26 that they're calling valid, our back
24 office provisioning staff went through -- I don't even know
25 what to call it -- a tremendous task to get these orders

1 worked. They spend hours and hours and hours on the phone, and
2 I mean literally hours on the phone with LCSC trying to resolve
3 invalid clarifications, and then BellSouth puts out an
4 escalation procedure. And if you knew the amount of time and
5 costly effort that was involved to reach that escalation
6 procedure, I think that address would need to be taken with
7 respect to invalid clarifications. I can tell you that I spent
8 four hours on the phone with LCSC, I believe it was Friday. It
9 was last Friday, and I escalated it all the way up to
10 Cathy Logan (phonetic), who is a manager within the LCSC, and
11 it had to do with RPONs, due dates, and calculated dates being
12 the same.

13 The due dates were the same on the confirmation
14 request that we got back from Bell. The calculated dates were
15 different. LCSC couldn't work the order. We had to fax them
16 the situation. Four hours later, Cathy Logan told me, we'll
17 correct this order and work it, but we won't be working any
18 more of these.

19 It was an invalid clarification. These are the types
20 of responses that we get daily, and it costs our back office
21 provisioners their inability to work orders for customers
22 because they're spending time on the phone with LCSC. We would
23 request that Mr. Ainsworth provide us with those -- all 113 of
24 those and give us exactly why they consider them valid, because
25 I believe the adage goes that if you can't recognize there's a

1 problem, there's no resolve. If they're not recognizing that
2 there's a problem, we're going to continue to have this back
3 office performance issue.

4 CHAIRMAN JABER: Let me ask you a question about the
5 example you've given us that you addressed yourself last
6 Friday, the invalid clarification. What ultimately -- why was
7 it kicked out?

8 MR. KOPYTCHAK: Well, you mean on the RPON, the one I
9 just addressed?

10 CHAIRMAN JABER: (Nodding head affirmatively.)

11 MR. KOPYTCHAK: We received a confirmation notice
12 from LENS saying that the due date calculation -- when you get
13 RPONs, both of the due dates have to be the same for BellSouth
14 to work the order. I physically held in my hand a copy of the
15 confirmation notice showing that the RPONs -- or the due dates
16 were the same. BellSouth's systems were showing that they were
17 not the same, and they couldn't work the order. I had to
18 physically get on the phone after a tremendous amount of time
19 of escalation and fax what I was looking at to prove to
20 BellSouth that we had no -- that the due dates were actually
21 the same.

22 CHAIRMAN JABER: I heard you say that. I'm looking
23 for the resolve as well. Let's take it a step at a time.
24 BellSouth's systems did not show consistent due dates. Why is
25 that? Who puts the information into the BellSouth system?

1 MR. KOPYTCHAK: BellSouth's system -- we request the
2 due date, and BellSouth gives us a calculated due date. The
3 due dates that we requested were the same. The calculated due
4 dates that we were seeing were the same. The calculated due
5 dates that BellSouth was seeing was different.

6 CHAIRMAN JABER: Okay. Why? Do we know?

7 MR. KOPYTCHAK: No, ma'am, we don't know. And
8 BellSouth didn't know. And BellSouth took it as an action
9 item, and at the same time within the same breath told us they
10 weren't going to work the orders anymore.

11 CHAIRMAN JABER: All right. So that inconsistency
12 immediately results in a clarification rejection.

13 MR. KOPYTCHAK: Correct.

14 CHAIRMAN JABER: And it's automatically rejected to
15 you.

16 MR. KOPYTCHAK: Correct. And I had a provisioner
17 escalating this issue for four hours that couldn't work any
18 more orders, the work orders on a production-based environment.

19 CHAIRMAN JABER: Okay. And the escalation process
20 just means that you're talking to supervisor, supervisor,
21 supervisor.

22 MR. KOPYTCHAK: Correct. We spent four hours
23 reiterating our position to five or six people time after time
24 after time.

25 CHAIRMAN JABER: Is it that the first person or the

1 second person you talked to doesn't have the authority to just
2 address the problem immediately?

3 MR. KOPYTCHAK: That is correct, that is correct.

4 CHAIRMAN JABER: So to resolve an issue, even if they
5 agree with you, does it have to get escalated?

6 MR. KOPYTCHAK: There has been numerous situations
7 where they have agreed with us and are not empowered to correct
8 the situation. And the second thing they want us to do then is
9 supp the order and send in another order at a cost of manual or
10 mechanized rates, whatever it is.

11 CHAIRMAN JABER: Give me an example of the
12 first person you talk to. Is that a service representative?
13 What is their title, the first person you talk to?

14 MR. KOPYTCHAK: The first person we talk to, usually
15 now that Fleming Island is geared up, which has been a problem,
16 is a service representative on that side. So we call and we
17 give them information, and we request to immediately speak to a
18 supervisor regarding the clarification in question.

19 CHAIRMAN JABER: Okay. And the person that
20 ultimately solved your problem four hours later was a what in
21 the management scheme?

22 MR. KOPYTCHAK: I'm not exactly sure. They change
23 every day, but they're customer service representatives,
24 they're managers, they're beyond the supervisors. They go all
25 the way up into director level.

1 CHAIRMAN JABER: And with respect to your request for
2 information, Mr. Kopytchak, I've already asked BellSouth to
3 give you information related to the data in the presentations
4 that they have used within a week's time.

5 MR. KOPYTCHAK: Great. Thank you. The other area
6 I'd like to address is the CSRs that weren't updating. I
7 believe that Mr. Ainsworth responded saying that out of the 498
8 PONs that we provided, 50 percent of them updated within two
9 days. We didn't selectively choose 498 PONs. We gave you a
10 block of PONs. And most certainly within those time frames,
11 there were PONs that updated within two days. However,
12 50 percent, or approximately 250 of those PONs, updated 10, 12,
13 14 days ahead of the timeframe that BellSouth is suggesting.
14 That creates extended customer service intervals and extended
15 back office areas. And we would like that investigated as well
16 because BellSouth admitted that 50 percent of the 498 PONs
17 updated within two days.

18 And then the last area that I'm going to just kind of
19 cover, I just have a question for BellSouth with respect to the
20 ADSL USOC. I just would like the Commission to know as well
21 that some of the times when we migrate service over and there
22 is the ADSL USOC, we don't want the ADSL. We basically want
23 the voice, and we're going to install our own loop. The ADSL
24 USOC prohibits us from even leaving the loop where it is and
25 transferring the voice, because basically we need the loop up

1 anyway, so we're going to order the loop first, and then we're
2 going to migrate the voice over. And that pending service
3 order with respect to the ADSL USOC won't allow us to even
4 leave the loop.

5 Secondly, what we'd like to ask BellSouth is, is we
6 understand that BellSouth --

7 COMMISSIONER DEASON: Just a second.

8 MR. KOPYTCHAK: Yes, sir.

9 COMMISSIONER DEASON: What do you mean by leave the
10 loop and then provision your own?

11 MR. KOPYTCHAK: Well, let's say that the customer
12 actually has ADSL with Bell, and they have decided to take our
13 service.

14 COMMISSIONER DEASON: They say the customer doesn't
15 have ADSL.

16 MR. KOPYTCHAK: Well, let's say --

17 COMMISSIONER DEASON: They have an arrangement with
18 an ISP, and the ISP is the customer of BellSouth.

19 MR. KOPYTCHAK: You know, there's several situations.
20 They could have ADSL. They could not have ADSL. It could be
21 through their ISP. It could be through BellSouth. Does that
22 make sense?

23 COMMISSIONER DEASON: BellSouth says they're not in
24 that business, not on a retail business. They do not provide
25 ADSL on a retail basis. Am I mistaken?

1 MS. COX: No, that's correct. The ADSL, the
2 telecommunications service, we sell strictly to network service
3 providers. The service I believe he's referring to is our Fast
4 Access, which is an enhanced service, which is our Internet
5 service.

6 MR. KOPYTCHAK: And that goes to the question that I
7 was going to ask, so maybe we can put that question first. And
8 that question is, as Fast Access is the largest regional ISP,
9 is the USOC on Fast Access? And maybe BellSouth can answer
10 that.

11 MS. COX: The same ADSL USOC would be on all lines
12 that have our Internet -- our wholesale service, which would
13 include Fast Access.

14 MR. KOPYTCHAK: So if I'm understanding right, they
15 do have the ADSL with BellSouth, and the USOC is on the CSR.
16 It's just called Fast Access. That's the ISP.

17 MS. COX: No, not exactly. The USOC that we're
18 discussing is the wholesale USOC, and it's an interstate access
19 service, and it's purchased by network service providers,
20 Internet service providers. BellSouth's Internet service
21 provider also purchases that wholesale service which it
22 packages with Internet access and provides as Fast Access.

23 MR. KOPYTCHAK: I'm sorry, I don't understand. Fast
24 Access --

25 CHAIRMAN JABER: Commissioner Deason, unless this is

1 information you want to hear right now, I thought I'd ask
2 Mr. Kopytchak and Ms. Cox to meet on this, discuss this after
3 the workshop. Let's move this along.

4 COMMISSIONER DEASON: That's fine.

5 MR. KOPYTCHAK: Commissioner Deason, does this answer
6 your question? Because I believe that is in the relation to
7 the fact that BellSouth provides the ADSL and the USOC is on
8 the CSR.

9 CHAIRMAN JABER: Mr. Kopytchak, I just asked my
10 colleague that question, so with --

11 MR. KOPYTCHAK: I'm sorry. I didn't understand.

12 CHAIRMAN JABER: No, you need to finish your
13 presentation.

14 MR. KOPYTCHAK: Okay. I believe that -- actually,
15 that's all I had in this area.

16 CHAIRMAN JABER: Are you sure?

17 MR. KOPYTCHAK: Yes, it is. Thank you.

18 CHAIRMAN JABER: Good. And I would hope that you
19 take advantage of Ms. Cox after this workshop and discuss your
20 concerns further.

21 MR. KOPYTCHAK: I will. Thank you.

22 CHAIRMAN JABER: Any other ALEC participants?

23 MR. MURDOCH: Hello. My name is Brian Murdoch with
24 KMC Telecom. Let me just first off say good afternoon. This
25 is KMC's first appearance on this panel. And forgive me if I

1 raise a couple of problems that you may have considered to be
2 part of the preorder or ordering, but when I look at
3 provisioning and the way KMC provisions local services in the
4 state of Florida, some of these we attribute to the actual
5 provisioning process and how it hampers our doing business with
6 BellSouth.

7 Let me first off state that KMC Telecom is a
8 facility-based provider, not only in Florida but in the
9 other -- in eight of the other nine state territory of
10 BellSouth. We operate in three of the BellSouth cities here in
11 Florida: Daytona Beach, Melbourne, and Pensacola.

12 First order of issue for us in the provisioning
13 agenda here are where KMC has recently been getting incomplete
14 FOCs, or firm order confirmations, from BellSouth. Incomplete
15 in a sense that the order has been accepted by BellSouth but
16 yet doesn't contain all of the necessary or pertinent
17 information from KMC Telecom to begin the provisioning process.

18 For example, our LNP, or local number portability,
19 orders with BellSouth have been missing the BellSouth ordering
20 number associated with our PON number. My friends in the ALEC
21 or CLEC community would agree that not having the Bell ordering
22 number to reference when requesting status or looking for
23 assistance from BellSouth impedes the ability to coordinate the
24 installation and the due date. And at this point in time,
25 there has been no BellSouth ownership, and the issue has been

1 in front of KMC, and I haven't heard it yet today but at least
2 in front of KMC for the last four months.

3 The work-around proposed and underway within KMC is
4 that that just means an additional telephone call to the local
5 carrier service center, or the LCSC, which obviously drives
6 operating costs for KMC higher.

7 KMC also experiences the same service delivery
8 jeopardies with regards to the DSL impacts that we have heard
9 earlier today, so I'll work with Kyle and Ms. Cox to understand
10 how BellSouth will work with the CLEC community in that regard.

11 We also have many cases where we have our orders
12 rejected in error. And in -- for instance, we have mechanized
13 disconnect orders that are rejected for invalid circuit
14 identification. This is where we have identified a particular
15 circuit ID to be disconnected, and BellSouth has told us, it's
16 an invalid circuit; your order is rejected; it's not going
17 anywhere -- anywhere fast at that point, anyway. But we
18 validate -- the CLEC has the opportunity to validate the
19 circuit IDs in a BellSouth back office system called COSMOS.
20 And that's part of the process when you're disconnecting a
21 service, is to -- obviously you don't want to disconnect the
22 wrong circuit, so you validate which circuits you're looking to
23 disconnect. And the work-arounds, and that again entails
24 calling the local service center and additional phone calls,
25 you can eventually get the LCSC to yield and acquiesce that,

1 oh, the CLEC, you do have the appropriate circuit ID. We have
2 rejected your order in error, but that causes delays for our
3 provisioning purposes.

4 We also have PIC change on a mechanized basis orders
5 being rejected. The latest incident here in the state of
6 Florida, and forgive me, I don't recall the IXC code that was
7 involved, but what it amounted to was the orders were rejected
8 based on BellSouth back office tables not being updated with a
9 current IXC provider. So additional phone calls into the LCSC
10 and a couple of days later we're able to get the PIC changes
11 made on customers, where as a matter of BellSouth's business,
12 it could take as long as four hours. So in the light of our
13 customer, we appear to be not as efficient as the incumbent.
14 And of course, the perception is hard to overcome.

15 The next opportunity for KMC and BellSouth are to
16 address the BellSouth-caused missed installation appointments.
17 This is where on average BellSouth causes or misses 26 percent
18 of our DS-1s that we've attempted to install in a given month
19 on average. The BellSouth standard or the BellSouth mark or
20 benchmark on that, they have missed less than 3 percent on
21 average. So there is a disparity in regards to that number.

22 What we found is that the pending facility scenario
23 has hampered KMC's ability to deliver service in the stated due
24 date that we have made. And the due date, again, is based on
25 the FOC date that BellSouth responds to us within 24 hours.

1 However, BellSouth does not necessarily do a facility check in
2 the time of receiving that LSR from KMC and delivering the FOC
3 back to KMC.

4 I have heard from my friends on the ALEC panel here
5 that there are advantages to obviously having an FOC returned
6 as quickly as possible so that you can set the customer
7 expectation for the due date, but I believe in the flip side of
8 the coin is that you also want an accurate due date to let the
9 customer in on. And when there's not a facility check in
10 place, it's -- we've been left to basically a 50-50 -- or,
11 really, 26 percent of the time, we're coming up on the short
12 end of the stick.

13 The proposed work-around for KMC would be to have
14 BellSouth delay delivering an FOC back to KMC upon a facility
15 check. We've heard that -- from our BellSouth account teams
16 that that's not necessarily -- that's not something that's
17 feasible for them to do. As they try to standardize those
18 types of processes and based on the state commissions mandates
19 that they return the FOC within a stated amount of time, they
20 would be in noncompliance with the state mandate.

21 The last point I'd like to make is the -- upon the
22 conversion from an ILEC -- or from the BellSouth service to the
23 KMC service offering, we have experienced a number of premature
24 disconnects. This addresses -- or this really goes to point
25 out the fact that there is still two orders or a dual step

1 process where there is a new order or a disconnect order in
2 place when a CLEC ports customers. There has been proposed a
3 "C" order, or a change order, I guess, that takes into account
4 the new connect and the disconnect. That process I've heard
5 and I've seen is forthcoming for the year of 2002. But just so
6 this panel and this Commission understands, it continues to be
7 an issue for KMC Telecom in the state of Florida because
8 customers lose dial tone and they are not too satisfied with
9 that. If there are any questions.

10 CHAIRMAN JABER: Next speaker.

11 MS. BERGER: Good afternoon. My name is
12 Denise Berger with AT&T, and I'll focus my comments on two
13 different areas. The first area I'd like to focus in on is the
14 area of UNE-P provisioning. As this Commission is well aware,
15 a UNE-P order really should be transparent to the end user
16 customer, but our experience, and you've heard some of the
17 other ALECs talk about this as well, is that that is not always
18 the case.

19 KMC just told you about the unrelated N&D orders,
20 which is a new connect and a disconnect order. The ALECs issue
21 one order to BellSouth to transition the customer service from
22 BellSouth to AT&T. BellSouth implements two orders. If those
23 orders are not related or if somehow the disconnect order gets
24 worked prior to the new connect order, the customer loses
25 service. Now, BellSouth is proposing a new Single "C" order to

1 be implemented in April of this year, but we're not certain
2 that that is going to fix the problem. They had implemented an
3 interim fix a couple of months ago to relate the D&N orders,
4 and we're still seeing problems with customers going out of
5 service.

6 MCI also talked to you, as well as several other of
7 the ALECs, about the BellSouth retyping orders and making
8 errors on those orders as they're retyped. And I won't get
9 into that in detail again, but Mr. Ainsworth had talked to you
10 about the BellSouth quality checks that they had put in place
11 to try and prevent that from happening. But what I'd like the
12 Commission to be aware of is that those quality checks only
13 compare the service order back -- that the quality checks only
14 look at the service order that was typed by BellSouth. It
15 doesn't look at the LSR or the order that was submitted by the
16 ALEC. So if there are errors that are introduced on those
17 orders, then those will not be caught in those quality checks.

18 COMMISSIONER DEASON: I'm -- if they don't compare
19 the two, what are they checking?

20 MS. BERGER: They're checking the order that they
21 typed to what came out of the end of their pipeline, not what
22 the ALEC sent to them. So if there were some order problems
23 introduced by the BellSouth rep retyping that electronic order,
24 then it wouldn't be caught in that quality check.

25 COMMISSIONER DEASON: I understand that. And I guess

1 what are they checking? If they're not checking for the
2 accuracy of the end with what came in from you, what are they
3 checking then?

4 MS. BERGER: That's our question.

5 COMMISSIONER DEASON: Okay.

6 COMMISSIONER BRADLEY: Madam Chair?

7 CHAIRMAN JABER: Yes, Commissioner.

8 COMMISSIONER BRADLEY: One question maybe on a
9 positive note. What is working within the system that we can
10 build upon?

11 CHAIRMAN JABER: Commissioner, I'm sorry, I didn't
12 hear your question.

13 COMMISSIONER BRADLEY: I said, what is working within
14 the system of connecting the ALECs with BellSouth's UNE system
15 that we can build upon?

16 CHAIRMAN JABER: Sort of looking at the best
17 practices, what is working within the system that we can build
18 upon here?

19 COMMISSIONER BRADLEY: Yes.

20 CHAIRMAN JABER: Well, that's, like, a subject for a
21 whole other workshop, Commissioner, but let's have an answer to
22 that. Let's start with Ms. Berger since she's speaking now,
23 and then we'll go to BellSouth.

24 And then, Commissioner Bradley, the other thing I'll
25 do is make sure that Lisa Harvey comes to see you and -- when

1 you get back into the office, we'll have her walk through the
2 OSS testing procedures.

3 COMMISSIONER BRADLEY: Thank you.

4 CHAIRMAN JABER: Go ahead, Ms. Berger.

5 MS. BERGER: That's a very difficult question to
6 answer because when a UNE-P order does work well, it's a
7 beautiful thing, you know. It truly is. It is transparent to
8 the end user. He does not -- there's not a blip in his
9 service. He transitions from BellSouth to AT&T, and it is a
10 very positive experience for that customer. That is what works
11 well.

12 However, when that does not work well, then you have
13 a -- the flip side of that coin. You have a customer who
14 expected one thing, which was a transparent transition of
15 service, and got something completely different, you know, got
16 service disruption, got business impact, was taken out of
17 service, didn't get what he ordered, didn't get billed the
18 right thing. I mean, the list goes on and on. So it's a
19 difficult question to get your hands around. When it works,
20 it's a beautiful thing. When it doesn't, it's very ugly.

21 CHAIRMAN JABER: Okay. BellSouth, I am going to give
22 you an opportunity to respond to the Commissioner's question.
23 How about we do it when your panel is up?

24 Okay, Commissioner?

25 COMMISSIONER BRADLEY: Yes, that's fine. Thank you.

1 CHAIRMAN JABER: Go ahead, Ms. Berger.

2 MS. BERGER: The last point that I'd like to make on
3 the UNE-P orders is that, as we said, the service transition
4 should be transparent. However, what we are finding out is
5 that sometimes BellSouth changes the facilities that the
6 customer is on. How we find out about this is when we
7 determine within that first 72 hours that the customer's
8 transition that there is a problem, we go back to BellSouth to
9 try and work it and get feedback back from the LCSC or the
10 CWINS center that the problem stemmed from the fact that the
11 customer's facilities were changed. So I'm taking the
12 BellSouth representative at his or her word that that's indeed
13 what has happened, which I don't believe in a UNE-P environment
14 should be what's happening.

15 The next area that I'd like to focus in on is UNE-L,
16 which is the UNE loop, where AT&T is providing the switching,
17 and we are leasing the loop from BellSouth. KMC talked to you
18 a little bit about facilities checks, and that is -- the
19 first point on the handout that you've got is that the jeopardy
20 notice management process by BellSouth is causing problems for
21 our customers.

22 For example, there are many occasions that we get a
23 jeopardy notice from BellSouth on the day that the cut is
24 scheduled to take place. What this does is, not only does it
25 disrupt the customer's plans, but it disrupts AT&T's plans as

1 well. What exacerbates this situation and makes it an even
2 worse situation is that although AT&T is sending an order over
3 to BellSouth with our appropriate contact information -- for
4 example, BellSouth, here's my order. If you have questions,
5 here is the service rep's name, telephone number, and fax
6 number for you to get back to AT&T.

7 What exacerbates this situation of the jeopardy
8 notices coming in on the day of the scheduled cut is that many
9 times the jeopardy notice is either faxed back to the wrong fax
10 number, an old one that hasn't been in service for a couple of
11 years, or the AT&T service rep picks up his or her voice mail
12 and gets a lot of fax tones on their voice mail because
13 obviously BellSouth is trying to fax the jeopardy notice, and
14 this is an assumption on our part just because of what we do
15 know, but that they're trying to fax that jeopardy notice back
16 to the service representative's voice number.

17 COMMISSIONER DEASON: Have you contacted BellSouth
18 and gave them the correct telephone number?

19 MS. BERGER: Yes, sir. And like I said, it's on --
20 the correct telephone number and the correct fax number are on
21 the service order that's sent across from AT&T to BellSouth.

22 The final UNE-L issue that I'd like to call your
23 attention to is the issue of the circuit ID. And I won't go
24 into the same detail that KMC went into, but I would like to
25 talk just a little bit about LFACS since Mr. Ainsworth had

1 brought that up earlier. AT&T had negotiated with BellSouth
2 for quite some time to get real-time electronic access to their
3 LFACS database.

4 Now, the reason that we wanted that was a couple of
5 things, because BellSouth will tell you that they offer a
6 Web-based report called COSMOS that gives AT&T the information
7 that it's looking for. It does give some information about
8 circuit facilities. It gives us the circuit ID. It gives us
9 the CLLI, the cable and the pair, and it tells us whether or
10 not the BellSouth database shows that facility as either free
11 or busy.

12 What it doesn't, however, give us is the information
13 that if we have a database discrepancy -- for example, AT&T's
14 database shows that the pair is free, and we're trying to use
15 it for Customer A, but the BellSouth database on COSMOS shows
16 that it's busy, what COSMOS doesn't allow us to do is to
17 determine what customer does BellSouth show that facility
18 assigned to which would allow us to go back and figure out
19 where we've got a database discrepancy. If we can't figure
20 that out, then we've got a lot of facilities out there in
21 collocation cages that aren't serving any customers, and we are
22 overbuilding the network. So that is the reason why we are
23 looking for and negotiated with BellSouth and gained their
24 agreement to give us the real-time electronic access to LFACS.

25 CHAIRMAN JABER: Do you know how often COSMOS is

1 updated?

2 MS. BERGER: According to BellSouth, it's updated
3 two to three times a week.

4 CHAIRMAN JABER: Okay.

5 MS. BERGER: That concludes my remarks.

6 CHAIRMAN JABER: If it's updated two, three times a
7 week, you're not disputing that showing the port busy might be
8 accurate, you're trying to figure out which customer base is
9 served on that to determine where you can network -- or where
10 you can aggregate your own customers.

11 MS. BERGER: What we're trying to do is to not have
12 to go down the path of the wholesale data reconciliation with
13 BellSouth. You know, when we have done some data
14 reconciliation in the past, you are absolutely correct,
15 Chairman, there have been discrepancies on both sides. And
16 what LFACS does is allow AT&T to determine where we have a
17 discrepancy and only address that one pair and not the whole
18 database.

19 CHAIRMAN JABER: Do you know how complicated -- do
20 you have a feeling in your own company's mind of how difficult
21 it would be to provide information on the customers that are on
22 that particular port?

23 MS. BERGER: It's our belief that it is in this
24 particular database, so it's just a matter of giving AT&T
25 access to that database, which to Mr. Ainsworth's earlier

1 point, BellSouth has said that they are updating -- or change
2 control has given us a May the 18th date. So I'm hopeful that
3 the May the 18th date is going to come, and we're going to get
4 the access that we're looking for. But since I've not seen
5 details as yet, I'm not certain that it's going to give us
6 exactly what it is that we have negotiated for.

7 CHAIRMAN JABER: Thank you. Any other speakers on
8 the ALEC panel?

9 Mr. Monroe and then Ms. --

10 MR. MONROE: Thank you. Real briefly. The area of
11 provisioning that I would like to focus on is the overall time
12 frame that it takes to provision one of our customers in
13 comparence (phonetic) to a retail customer from Bell calling up
14 and wanting to add -- just add a line or change their services.
15 The area in which we tend to experience the majority of the
16 problems goes back to the actual provisioning of the order that
17 we send through to BellSouth.

18 Mr. Ainsworth, I think it was, put up a slide that
19 showed of the three examples that Florida Digital specifically
20 sent over, two of them they felt were clarified or rejected
21 correctly, and there is just one that they felt was not
22 rejected properly, I should say. And I'm not still certain
23 about the type of voodoo mathematics he used to figure that
24 that was 99 percent, but 2 out of 3 to me is 66 percent. But
25 if you take that and look at the 66 percent of what they admit

1 to being clarified in error, if you project that out over the
2 number of LSRs that we send, and then look at the third that is
3 not actually clarified in error, when you are sending over 100
4 LSRs a day, I mean, that's a significant amount of LSRs that
5 are clarified in error, and then that is what is actually
6 contributing to the length of time that we are actually taking
7 to process our customers' orders.

8 We can typically take an order after it's been sold
9 in the field to the customer, present it into our database. We
10 can actually send that over to bill electronically and
11 typically have an FOC back if it's a good, clean order without
12 it being clarified within 15 to 20 minutes or so. So to say
13 that the long, drawn out provisioning process or the four- to
14 five-day intervals that we are getting on provisioning our
15 orders is a process of our ALEC OSS is not exactly certain or
16 not exactly a true point.

17 I think that the majority again of the areas that we
18 tend to fall down in or have problems in are when the
19 customers' LSRs that we send over are clarified in error, when
20 they fallout out of their system as manual orders. If we can
21 work towards cleaning the system or providing a system where we
22 can provision more orders electronically or where they will not
23 manually fallout of their system, then I think that BellSouth
24 will go a long way towards providing reciprocity that I think
25 that the Commission has called for.

1 MS. BOONE: Thank you, Madam Chairman. That
2 concludes the provisioning panel.

3 CHAIRMAN JABER: Actually, I thought Ms. Conquest
4 wanted --

5 MS. CONQUEST: I was going to make your day. I'm
6 going to give my time back. I think my cohorts did an
7 excellent job covering our issues, and I can just say ditto and
8 thank you. And let's move forward.

9 CHAIRMAN JABER: Thank you. BellSouth panel, and
10 please address Commissioner Bradley's question.

11 MR. VARNER: Mr. Ainsworth will do that. But I
12 wanted to suggest one thing that I think everybody might be in
13 agreement with. In going to the provisioning panel that the
14 CLECs had, there were several things that were, like, specific
15 data items. Covad brought up several that actually we hadn't
16 seen before, but we had pulled some of the data. What I was
17 going to suggest, instead of going through here and going
18 through a laundry list of responses to these, which would mean
19 I'd take things like 3.08 percent of troubles within 30 days
20 and explain what that was all about, that we include the
21 responses to these specific data issues in the filing that's
22 going to accompany Mr. Ainsworth's backup for his slides as
23 opposed to us sitting here and just going through all of that
24 detail today.

25 CHAIRMAN JABER: You know what I'd rather have

1 actually are not responses but solutions.

2 MR. VARNER: That's fine.

3 CHAIRMAN JABER: And we will talk about whatever
4 written filings the Commissioners want at the end of the
5 workshop, but I have to tell you, I'm more interested in
6 knowing when certain things will be addressed as opposed to
7 hearing responses. So remind me at the end of the workshop --

8 MR. VARNER: That will be included. What I was
9 talking about were instances wherein they're presenting numbers
10 and the numbers really are not telling you what you they're
11 laid out to tell you. Or if they are, what we're doing about
12 it to make them work, if we need to fix.

13 CHAIRMAN JABER: Right. Commissioners, what's your
14 pleasure? Do you have any objection to Mr. Varner just
15 including some of that information in that data that will be
16 provided to the ALECs?

17 COMMISSIONER DEASON: I think Mr. Varner's suggestion
18 will speed this process, and I'm for speeding the process.

19 CHAIRMAN JABER: Let's do it.

20 COMMISSIONER PALECKI: I'm all in favor of it as
21 well, and I'm especially interested in seeing solutions from
22 both sides and not just finger-pointing.

23 CHAIRMAN JABER: Exactly.

24 MR. VARNER: All right.

25 CHAIRMAN JABER: Thank you, Mr. Varner.

1 COMMISSIONER BRADLEY: Madam Chair, also, may I say
2 something? I think it would be more concrete for me if we
3 could deal with hard numbers rather than statistical sampling.
4 That makes it rather difficult for me to get a grip on what
5 reality is.

6 CHAIRMAN JABER: Okay.

7 COMMISSIONER BRADLEY: I don't know if that's
8 possible.

9 CHAIRMAN JABER: Yeah. Mr. Varner has offered to
10 provide some of the numbers through the backup data that
11 Mr. Ainsworth will provide to the parties and to the Commission
12 in a week, so we'll look at what that is.

13 COMMISSIONER BRADLEY: Fine. Thank you.

14 CHAIRMAN JABER: Okay.

15 MR. VARNER: Mr. Ainsworth.

16 CHAIRMAN JABER: Go ahead, Mr. Ainsworth.

17 MR. AINSWORTH: I'll try to address Mr. Bradley's
18 question. I'll be real brief. You know, just three things I
19 noted really quick, and one of them, I agree with AT&T and
20 Ms. Berger. It is a beautiful thing, and it's so beautiful it
21 works 99 percent of the time when it's going efficient and
22 effective. So I want to make sure that we realize that when we
23 look at the data on UNE-P that we are processing that in a
24 quality manner, and we are meeting that objective over 99
25 percent of the time when we're doing that without any

1 interruption to service. So that's one thing.

2 And the other thing that we haven't really addressed
3 today that we had worked diligently on was the hot-cut process.
4 I haven't heard any discussion on that today. But again, the
5 hot-cut process being as it is a timing issue and it is a major
6 manual process, in my mind, that we can point to and say it is
7 very, very effective and one of the best processes, I think,
8 for that type of process for that much manual effort to meet
9 time-specific times that I'm aware of.

10 And then I'll just -- in the maintenance arena when
11 you look, and Mr. Varner can talk about the maintenance results
12 and those type things, when you look at duration time and
13 clearing time in the CWINS operation, I would point to that
14 also to say that they do a very, very good job in processing
15 those things and getting them cleared in a timely manner. So I
16 just point to those three just to make those points.

17 CHAIRMAN JABER: You want to just go ahead and start
18 your panel discussion?

19 MR. AINSWORTH: Okay. I'm going to back into this a
20 little bit. I'd like to go ahead and reply to some of the
21 comments, and then I'll go right into the presentation if you
22 don't mind.

23 CHAIRMAN JABER: Sure.

24 MR. AINSWORTH: I was listening to Network Telephone
25 invalid clarification. I want to make sure we're clear because

1 I thought I had done that in the earlier presentation, and that
2 was that on the invalid clarification of data, I had welcomed
3 and offered also to work with them in our SME to go through
4 those and address those. I think ADSL is going to be the
5 category where they considered that invalid; we clarified as
6 valid. And I think that's going to be the biggest issue there,
7 but we certainly want to work with them in that avenue to look
8 at those situations, and we look forward to doing that.

9 Also, on the calculation of the due date issue they
10 brought up, that did come to our attention also. That issue is
11 being looked at, and currently we are trying to understand how
12 that process occurred. And I know that Network Telephone did
13 get that into the process, but I also want them to know that
14 that escalation did come internal all the way up to my staff,
15 and we are viewing that today. As they had indicated, it
16 appears on that data that they submitted it with matching
17 dates, and it was a calculation miscalculation causing the
18 clarification to go back, but we don't understand all that
19 process that happened. But it is being looked at and is being
20 researched, and we will address that particular issue.

21 CHAIRMAN JABER: What about the general concern,
22 though, that perhaps the first person and the second person
23 that take the call is not empowered to make those just basic
24 business decisions? You know, the ALECs are your wholesale
25 customers, and at some point, you have to empower your

1 employees on the other side of the phone to say, you know what?
2 This isn't worth it. I'm going to take care of your problems
3 so that we have a better working relationship going forward.

4 MR. AINSWORTH: Well, I have actually made some notes
5 to the effect listening to that conversation because, you know,
6 we really have a belief that they should be empowered to do
7 those things. We also have a belief that if it's not being
8 handled properly, they can use the internal processes and the
9 escalation procedures, and they will work also. So I have a
10 note. I'll discuss that internally to try to look at it from
11 the other side to make sure that we get all the facts around
12 that area.

13 Okay. Also, I wanted to comment about Ms. Berger,
14 the LFACS scenario that she had laid out. I wanted to make
15 sure that, as I presented earlier, that database is out there.
16 The database is actually updated daily now, not three times a
17 week. So they do get a daily feed from that process. And I
18 also want to make it clear that in that process, that that is
19 the CLEC cable pair. They are responsible for that CFA
20 assignment, not BellSouth. We have to keep that on record as a
21 process so that we don't send work down to the field that can't
22 be worked to the central office. But the actual assignment of
23 that facility should be inventoried and kept by the CLEC. So
24 they should also have records on that that would indicate what
25 information is there and what the assignment is and what the

1 parties are involved in that. So I might just mention that at
2 that point, too, just to clear that point up.

3 Now, to go into the presentation. PF facilities came
4 up as an issue that was noted, and I wanted to just represent
5 that PF is a condition that occurs when BellSouth does not have
6 a facility to provide service to an end user. They are sent
7 out as jeopardy notices. They would be on a PF report, and
8 they would be identified on a PF report. PF identification
9 comes really in two ways, and I want to be sure that we're real
10 clear because this causes conversations from time to time. And
11 one is that on the order processing, it is processed through
12 our systems. If that order does not have an assignable
13 facility, then it will go PF when it goes into the LFACS
14 database. That will be sent out to the engineering group to
15 take a look at. They will have to try to determine what
16 availability they have for a facility or to clear a facility
17 issue or a problem to serve that particular customer.

18 And the second one that I believe we had a little
19 conversation today on was that due date based on assignment
20 facility being defective and there's no additional facility
21 that is available. Now, what that means is that we have an
22 assigned facility. We're going out on the order on the due
23 date. We get out to the order, and for some reason, the
24 facility is defective and there is no other facility available.
25 And that accounts for the process where on the due date you

1 could reach a PF condition that was not determinable prior to
2 that technician reaching and testing that facility to turn up
3 that service. So those are the two type PF conditions that are
4 there.

5 What we do behind that to try and minimize that
6 effort is, we have a PF group in the CWINS for designed
7 services. And the CWINS operation will be processing --
8 looking at those PFs and pushing those PFs to try to make the
9 due date. And the whole intent of this group is that once that
10 PF condition is identified, they will run the reports, and
11 their target is to work with the SACs, work with the network
12 engineering groups to get those cleared so that we can make
13 that due date, and that's their primary goal. The LCSC has a
14 group than monitors the PF process on the nondesigned services.

15 UNE-P migration service outages. We were talking
16 about in the provisioning process, AT&T had provided 19
17 examples of UNE-P outages from June to December. Taken into
18 account of that and facing -- or with AT&T numbers, and they're
19 averaging even in Florida greater than a thousand orders per
20 month, that this would equate to actually significantly less
21 than 1 percent of the UNE orders being processed having any
22 type of issue associated with them. So, again, when you're
23 looking at the analysis and you're looking at the outage, we've
24 taken several steps. I know in June, as you look back -- and
25 we are doing analysis daily on this. Since we started this in

1 May, we actually put in several edits. I think that was
2 mentioned by AT&T. We put those edits in to reduce that. And
3 since we have put those edits in back in the June time frame,
4 it has decreased, and it has decreased significantly.

5 And we continue to analyze UNE-P today. We analyze
6 UNE-P on a daily basis, and we're looking for any feedback or
7 we're looking for any issues that we can determine to even
8 reduce that number even further.

9 Looking at MCI's comments. Loss of dial tone on
10 UNE-P was an issue and provided 11 examples. We reviewed those
11 maintenance reports and determined that, again, less than
12 1 percent can be attributed to UNE-P. And the reason I keep
13 continuing to say that is, that's what we have said, and that's
14 what our analysis has continued to say. Our analysis from July
15 the 18th through December 31st indicates that for a migration
16 service affecting concurrence (sic) that only .56 percent of
17 the UNE-P migrations. Said another way, that indicates that
18 BellSouth does not encounter a service affecting problem in
19 99.44 percent of those migrations.

20 Pre-completion service issues are directed to the
21 CWINS center. CWINS has the responsibility to coordinate
22 resolution of all reported problems. Two things I noticed
23 there -- and I was listening to MCI as they were giving their
24 presentation. We put in an additional process in the CWINS
25 group. One is, if that order is complete, that is a

1 maintenance issue. And if that comes to the UNE-P center, they
2 will process that as a maintenance trouble ticket. If that
3 comes in during the provisioning process even prior to the
4 completion of that order, the CWINS has direction and a process
5 in place to work with the LCSC to resolve whatever issue that's
6 encountered by the CLEC. So, again, CWINS is a point contact
7 for that. We added that process a little over a year ago, but
8 we have even enforced that process and improved that process
9 throughout 2001.

10 Again, I mentioned on the quality control process
11 we're doing daily analysis on the UNE-P maintenance reports.
12 You know, as has been discussed here, that we have a plan for a
13 Single "C" order. We have a product team working on that
14 process today. And all of the efforts that we have right now
15 as far as the SMEs are looking to that Single "C" process to
16 get that implemented in a timely manner.

17 CHAIRMAN JABER: And there is an interim process in
18 place, though, that the ALECs have identified has some
19 problems.

20 MR. AINSWORTH: The interim process they're talking
21 about or that's identified is the N&D. And because of that
22 conversation, that's why we do the analysis we do on UNE-P, to
23 make sure we can identify any outlying issue out there if an
24 error is made. We do have edits in the process, but in cases
25 those edits can be circumvented -- and you could have an error

1 there, and when we encounter those, we try to get that feedback
2 directly to the LCSC and to eliminate those situations. So we
3 continue to analyze that process to see what we can do to
4 improve that even as an interim as we're moving through the
5 process to Single "C," and we will continue to do that.

6 CHAIRMAN JABER: Well, the final -- if I recall the
7 comments correctly, there's some final conversion program that
8 should take place in April 2002. That's just a couple of
9 months from now on the reconnect/disconnect; right?

10 MR. AINSWORTH: Actually, the -- April 6th and 7th,
11 and I'd have to go back and look at the dates. I think
12 Ron Pate said that the Single "C" would be implemented and that
13 will go in the testing stages and be available the last part of
14 March. I believe it actually goes in production in the April
15 time frame. And that's the Single "C" order process that will
16 be implemented at that particular time.

17 What that does is that will take the place of the "N"
18 and the "D" order that we're relating today in that process.
19 So the interim process is that we continue to monitor that N&D
20 process to make sure it's being handled efficiently.

21 COMMISSIONER BRADLEY: Madam Chair?

22 CHAIRMAN JABER: Yeah, Commissioner. Hang on one
23 second.

24 COMMISSIONER BRADLEY: Okay.

25 CHAIRMAN JABER: The Single "C" process that will

1 take effect end of March, 1st of April, whatever, less than two
2 months from now, that will replace the interim R&D process?

3 MR. AINSWORTH: D&N, that's correct.

4 CHAIRMAN JABER: That will replace it. So have you
5 taken into account the flaws in the interim process and fixed
6 it for purposes of what you're going to launch end of March,
7 1st of April?

8 MR. AINSWORTH: Yes. The product team that's
9 developing that product now is aware of all the analysis we
10 have, and they are looking at that product. So --

11 CHAIRMAN JABER: That's not what I asked you. Not
12 that they have looked at, not that they have analyzed it. Have
13 you fixed the flaws in your final product that you intend to
14 launch end of March, 1st of April? Have you made sure that the
15 flaws in the interim procedure have been addressed for purposes
16 of launching the final product?

17 MR. AINSWORTH: We have addressed all of the interim
18 processes that we have knowledge of. I mean, we have addressed
19 that, and we continue to address that. We have fed that
20 information into the product team that's developing the Single
21 "C." So if they incorporate that in the process of initiating
22 that Single "C" and implementing that Single "C," then, yes,
23 they would have incorporated what we have learned in the
24 processes that we have learned and responded to to make that
25 interim process work properly.

1 CHAIRMAN JABER: You're not sure, are you?

2 MR. AINSWORTH: Pardon?

3 CHAIRMAN JABER: You're not sure that they have, are
4 you?

5 MR. AINSWORTH: Well, I'm trying to make sure because
6 a Single "C" is an underdevelopment process. Okay. So, I
7 mean, you're actually having to develop and put the USOCs and
8 put the ordering process together to develop that. So if they
9 are looking at the process of RRSO as an issue, RRSO will not
10 be an issue for relating that order in the Single "C" because
11 you won't need an RRSO. So if you're looking at those type of
12 situations, yes, they're going through it.

13 The other processes we have identified where we would
14 run into an LFACS issue or a COSMOS issue, they're aware of
15 those issues. So those that we're having to monitor and take
16 manual action on, they will be taking -- they are taking the
17 action through that product team to develop that, but that's an
18 in-progress process. And ultimately, yes, they will be
19 incorporated into that, so when they roll that product out,
20 those situations will be resolved.

21 CHAIRMAN JABER: Okay. Commissioner Bradley, you had
22 a question?

23 COMMISSIONER BRADLEY: Well, I think he just answered
24 my question. My question was in line with what you just asked.
25 I was curious as to what the process might look like, and I

1 think he just pretty much described it --

2 CHAIRMAN JABER: Okay. Thank you, Commissioner.

3 COMMISSIONER BRADLEY: -- the testing process. Thank
4 you.

5 MR. AINSWORTH: From the CLEC standpoint, the LSR
6 coming in will be the same. I mean, they will still supplement
7 it. The difference would be, it will be generated as a Single
8 "C," not an "N" and a "D" order process.

9 Does that answer your question?

10 CHAIRMAN JABER: Yes.

11 Anything else on the BellSouth panel?

12 MR. PATE: Yes, Commissioner. I have just a couple
13 of brief comments. Not to belabor the Single "C," it's the
14 very first item. We right now have this targeted for
15 March 23rd date. The April date has been communicated, and we
16 have been able to carve out a couple of weeks thus far. So
17 we're hoping we'll be able to maintain that, and that's what we
18 currently have on our schedule. So that process should be in
19 at that point in time and, of course, be available for CAVE
20 testing prior to then.

21 Line loss notification, I'd like to give you a few
22 comments on this. The issue was raised with respect to MCI's
23 filing. First off, I'd like to make sure that everyone
24 realizes the line loss notification that we provide to the CLEC
25 community as a whole is a Web report. The issue that we have

1 been working with with MCI is not based on that Web site
2 report. It's based on a report that was designed specifically
3 for them back in 1998 over what's referred to as a network data
4 mover. It's just a direct connect type data feed that we have
5 specifically with MCI.

6 When we designed that using MCI's requirements, they
7 did request that certain disconnect reasons specifically
8 switched in error, a nice name for slamming, not be included on
9 that report. And as a result of some recent working with them
10 and trying to identify why some of their line loss
11 notifications were not being realized by their systems, that's
12 the main contributor that has been identified. And as of --
13 you'll see there at the very bottom of February 2nd, with that
14 release, these switched in errors are now included at MCI's
15 request on their network data mover feed for line loss
16 notifications.

17 So that -- I think this issue is now resolved going
18 forward with MCI. We've worked diligently with them in many
19 ways trying to get reconciliation with their line loss
20 notifications. So with that release, that issue should not be
21 one going forward that we'll have to deal with.

22 A couple of just other quick points with response to
23 some of the discussions that we have had here in this section
24 from the ALECs. I would like to just point out that,
25 first off, a statement. BellSouth, of course, I know you can

1 appreciate, we are focussed on providing quality service. And
2 we are focussed on that. We are not perfect. We make
3 mistakes, particularly when there is the human intervention
4 associated with it processing the order. But there is a tool
5 out there where the ALECs can proactively look at their orders,
6 and I just wanted to bring that to everyone's attention. And
7 that's referred to as CSOTS. It stands for the CLEC service
8 order tracking system.

9 In that tool, they actually see the service order
10 that's being processed. So if they wanted to look at it for
11 themselves based on a sampling basis or whatever to validate
12 that their orders, particularly those that they're requiring
13 manual intervention, are being processed properly. There is a
14 tool that exists out there for them to use on a proactive
15 basis. Those are all my comments. Thank you.

16 COMMISSIONER PALECKI: Mr. Pate, KMC brought up an
17 issue about not having a BellSouth number to reference when
18 they make inquiries to BellSouth, and basically they stated
19 that impeded their progress on these inquiries. It sounded
20 like it would be a relatively easy problem to fix. Could you
21 discuss this during our break with Mr. Murdoch from KMC to see
22 if perhaps some solution could be reached on that issue?

23 MR. PATE: Sure. I'll be glad to.

24 COMMISSIONER PALECKI: Thank you.

25 MS. FOSHEE: (Inaudible.)

1 CHAIRMAN JABER: Ms. Foshee, come up to the
2 microphone.

3 MS. FOSHEE: Thank you. There were two items that we
4 were going to look at during the break. If this is the
5 appropriate time for our folks to respond, we have those.

6 CHAIRMAN JABER: Sure.

7 MS. FOSHEE: The first was a question about some
8 information that AT&T had talked about that we were supposed to
9 provide them on Friday, and Mr. Pate can answer that. And then
10 the second issue was about the facilities reservation number,
11 and I believe Mr. Ainsworth can address that real briefly.

12 CHAIRMAN JABER: Sure. Go ahead, Mr. Pate.

13 MR. PATE: Certainly. This was the issue raised by
14 Mr. Bradbury, and he said that they had requested some
15 information a couple weeks back that was supposed to be
16 provided this past Friday, and we had missed that date. The
17 specific information that they requested, my understanding is,
18 they were looking for some information for a TAG,
19 API (phonetic) specification. That is all related to the
20 parsed CSR. And the commitment, once again, was February 15th.
21 Well, checking with my colleagues back in Atlanta and
22 Birmingham, we checked and we did provide a posted revised
23 specifications on the Web site, and we also notified
24 Ms. Seigler, my understanding, via e-mail that that posting had
25 taken place.

1 CHAIRMAN JABER: Okay. So your response is that you
2 did contact AT&T directly on Friday, and you also posted the
3 response for everyone's benefit on the Web site.

4 MR. PATE: That's correct. And I had not had a
5 chance to tell Mr. Bradbury that directly, but that is what my
6 folks have advised me.

7 CHAIRMAN JABER: All right. And with respect to the
8 second question, Mr. Ainsworth.

9 MR. AINSWORTH: Yes. I believe this was Network
10 Telephone. I believe they were talking about a FRN issue in a
11 contact they had had, and they had not -- or we had reneged on
12 a commitment, I believe was the term. And actually in talking
13 with the individual, they indicated that the only -- the
14 commitment that was made was to present this issue to the
15 product team for consideration, which that has been done. And
16 they also are to continue submitting those service orders at
17 least in this period of time with an SI with an LSR until the
18 product team can have an opportunity to look at that and
19 respond. And they are -- in fact, have an ERT letter in
20 progress now replying to that in writing to Network Telephone.

21 CHAIRMAN JABER: And what would their response say?

22 MR. AINSWORTH: The response said that it has been
23 given to the product team to determine, can they comply with
24 that request.

25 CHAIRMAN JABER: Oh, the response will not say

1 whether the can or cannot comply.

2 MR. AINSWORTH: No.

3 CHAIRMAN JABER: It's just that they're working on
4 it.

5 MR. AINSWORTH: That's correct.

6 CHAIRMAN JABER: When did the original request come
7 to you all?

8 MR. AINSWORTH: I don't have that information.

9 CHAIRMAN JABER: Okay. All right. Anything from
10 BellSouth on provisioning?

11 All right. Ms. Keating, I suppose that we are ready
12 to move on to maintenance and repair.

13 MS. SEIGLER: I'm sorry, Ms. Chairman. I'm sorry.
14 I'm Bernadette Seigler, and I was expecting that e-mail back on
15 Friday, and I did not get it as of yesterday morning.

16 CHAIRMAN JABER: Okay. Ms. Seigler.

17 MS. SEIGLER: So I did not receive that information.

18 CHAIRMAN JABER: Let's come back to all of those
19 responses at the very end, but we're going to move this along.
20 He said, she said, there is nothing we can do about that right
21 now.

22 MS. BOONE: Madam Chairperson, I actually -- we have
23 a suggestion. We have been discussing with BellSouth
24 reordering and taking the change management panel next and then
25 the data integrity panel with the hopes that we can cover some

1 billing and maintenance stuff in those and therefore skipping
2 two panels essentially. And the CLECs are okay with that, and
3 BellSouth is fine, I think.

4 CHAIRMAN JABER: Skipping to --

5 MS. BOONE: Skipping to change management next and
6 then data integrity, and then if there were going to be time,
7 which there's not, that would leave billing and maintenance and
8 repair. We think change of management will incorporate kind of
9 a lot.

10 CHAIRMAN JABER: That's fine. We're flexible here.
11 I'll take up change management.

12 Staff, do you have any problems?

13 MS. KEATING: Sounds fine to us.

14 CHAIRMAN JABER: Go ahead and start the change
15 management panel. And Ms. Seigler, during the next break or if
16 you have an opportunity now to sit down with Mr. Ainsworth and
17 find out who it was e-mailed you the response, that would be
18 good.

19 MS. FOSHEE: Madam Chair, one last thing while we're
20 getting situated. We will, while this presentation is going
21 on, be handing out paper copies of the preordering, ordering,
22 and provisioning sections so that everyone will have those. So
23 if you don't get one, please come see us, and we'll make sure
24 you do.

25 CHAIRMAN JABER: Thank you.

1 COMMISSIONER PALECKI: Could you give us an
2 indication of when you will be taking a break?

3 CHAIRMAN JABER: How about right now?

4 COMMISSIONER PALECKI: That would be great.

5 (Brief recess.)

6 CHAIRMAN JABER: Now, we took such a sufficient
7 break, they tell me we don't need a billing panel; is that
8 correct? Not all at once. Okay.

9 Ms. Keating, change management. I see Mr. Moses up
10 there.

11 MS. KEATING: I was wondering if this might be the
12 right time. Mr. Moses can address the issue of the PIC freeze
13 rule.

14 CHAIRMAN JABER: Sure.

15 MR. MOSES: Chairman Jaber, you had asked the
16 question of the status of a Staff workshop involving the PC
17 freeze. What happened, a little less than a year ago, MCI had
18 petitioned the Commission for the electronic lifting of a PC
19 freeze. A workshop was held, and it was ultimately withdrawn,
20 and then it was brought to agenda and closure of the docket.

21 And we do have a draft rule that is pending that is
22 just going to clarify that the PC freeze is at the option of
23 the customer and not the option of the companies, but that will
24 be brought for you pretty soon. We're going to have a workshop
25 on that on May 2nd.

1 CHAIRMAN JABER: May 2nd?

2 MR. MOSES: Yes.

3 CHAIRMAN JABER: Okay. Thank you.

4 MR. MOSES: You're welcome.

5 CHAIRMAN JABER: Change management, ALEC panel.

6 MR. BRADBURY: Yes, ma'am. Jay Bradbury with AT&T.

7 I've heard a lot of discussion today about deficiencies in
8 BellSouth's operation support systems. A principal tool for
9 the ability to correct those would be an efficient and well
10 functioning change management process. Unfortunately, the
11 process that the ALECs face today with BellSouth is flawed in
12 three major ways.

13 First, it has no time frames by which BellSouth must
14 implement feature changes. Second, the real process is
15 actually hidden from the ALECs. This is already pretty
16 well-known to you and your Staff through Exception 88 here by
17 KPMG, so we won't spend much time talking about that. And
18 thirdly, the process delivers defective software. You've heard
19 a number of examples of that today, so we won't do anything
20 except probably list them again for your reference.

21 What has this process brought us to? It's brought us
22 to a point in time where we have a considerable backlog of both
23 feature and defect change requests. My BellSouth friends who
24 try to reconcile my numbers under the feature change requests,
25 I did not include in backlog any new status items that were

1 clearly opened because of CLEC inactivity. That includes a
2 couple of AT&T change requests like TAFI, ECTA and some others
3 that are open to the ALECs to respond to BellSouth. So that
4 may come up a little bit short because I didn't want to
5 overstate a backlog here.

6 My database was the end of January, the change
7 control log at that point in time. Since that time, there have
8 been some five or six new feature change requests produced. We
9 can look at the release schedules and see that there are only
10 24 feature changes scheduled to be implemented this year. And
11 so I can do a forward-looking forecast at the end of the year
12 and say that the defect -- pardon me -- the feature change
13 request backlog at the end of this year will still be
14 63 feature change requests. And it will take until 2005 under
15 the present process to clear that backlog if there are no
16 additional feature change requests.

17 The defect change request status at the end of
18 January, there were 61. There were quite a few scheduled. My
19 instant forecast is that there are now -- there is now a
20 backlog of 39 defect change requests in place.

21 There's been a disparity over the years in the
22 percentage of change requests that were implemented depending
23 on whether the ALECs initiated them or BellSouth initiated
24 them. Now, there's some data in the next paragraph that
25 reflects to you that one out of five of the ALECs have been

1 implemented over time. One out of three of the CLECs -- excuse
2 me -- of BellSouth over time. The time for the ALECs is a
3 three-year period. The time for BellSouth is a two-year
4 period. And there's a considerable difference in the average
5 time to implement between the two of 104 days. And again, this
6 is all data from BellSouth's ex parte filings at the FCC.

7 Implemented faulty software. I think we've talked
8 about almost all of these examples today: Loop port queries;
9 the due date calculator; customer service record response
10 timeliness improvement which lost the -- actually lost three
11 different fields; the latest one that was restored was the
12 pending service order field; migration by TN and name and the
13 parsed CSR data.

14 This defective software comes into place because
15 BellSouth fails to develop and implement timely coding
16 specifications. It fails to perform an adequate internal
17 testing and the external testing environment, the CAVE
18 environment, available to the CLECs or ALECs has been limited
19 in scope, functionality, and availability.

20 All of the resources and efforts that are required to
21 correct faulty software, of course, take away resources and
22 efforts that could be used to implement new changes that
23 appear. Again, the real process has been hidden. I'll just
24 refer you to Exception 88 to the fact that there is a process
25 that goes on that the ALECs do not have any role in, have

1 visibility to.

2 Recently, at a request of the Georgia staff, the
3 ALECs have submitted a proposal, what we call the redline CCP
4 document, to the Georgia Commission. That was presented to
5 them on January the 31st. I made copies of that available to
6 the Staff then, so I haven't brought any today. I hope they
7 still have them.

8 Four major things in that that we wanted, and I think
9 we'll talk about a little bit today, is there needs to be a
10 very clear definition of what a CLEC impacting defect -- excuse
11 me -- change is. BellSouth has a very narrow view of that.
12 The ALECs, and maybe they'll surprise you, have a much broader
13 view. There needs to be prioritization of all what we call
14 Type 4 BellSouth and Type 5 ALEC initiated change requests
15 jointly that is binding upon BellSouth. There needs to be time
16 commitments for the implementation of those Type 4 and 5, and
17 we propose a 60-week interval. There is no interval today.
18 And the ALECs need to have visibility into the BellSouth
19 process after that prioritization.

20 Again, we made those recommendations in a redline to
21 the Georgia Commission about two weeks ago. BellSouth was to
22 respond on Friday. I'm quite certain they did, I just haven't
23 seen the response myself. Mr. Davis tells me that they did
24 indeed do that. I imagine that it will probably reflect a good
25 bit of stuff that I read over the weekend in their federal

1 filing where in the time intervals when they filed at the FCC
2 last October until now, they have either initiated or promised
3 to initiate some 23 initiatives in this area.

4 I'll say three things about those. All 23 of them
5 are really just in time for their federal filing. Two, all of
6 them could have been made at any time in the past, and three,
7 virtually all of them have been requests that CLECs have made
8 over time for the last two or three years.

9 With that, I'll turn it to my cohorts.

10 CHAIRMAN JABER: Who wants to go next? Tag your it.

11 MS. CONQUEST: Tag, I'm it. I thought I was last.

12 Okay. Basically, we support AT&T's position. It is a concern
13 of ours that changes are very slow to be forthcoming. Often
14 they are not addressed. They're sent back for clarifications,
15 and they sit for a while pending and sometimes get lost in the
16 paper shuffle. The biggest concern, I think, we've had
17 recently, and we have made a little bit of progress toward, is
18 a sizing issue. It's impossible for us to come to the table
19 and do a prioritization on a change request when we don't
20 understand what the effort with regard to the coding resources
21 that's being required. And we've tried to explain that in some
22 of the documentation, I'm sure you've read, that they bring the
23 top category or the top tier to the table. Sometimes it's a
24 small CLEC. It's that smaller tier that you really need to do
25 things in your business, and those things tend to get lost and

1 sit on the table for months and months and months.

2 So we are advocating that there be a process that
3 makes us partners in the packaging. We need to have a voice.
4 I don't feel comfortable in BellSouth being my voice because
5 they don't walk in my shoes, and they don't understand my
6 business needs. And while I applaud them for taking that to
7 their prioritization table, there are at least three internal
8 customers that are there competing with me for those same
9 resources, and that's a concern. And I feel like that we need
10 to have a co-position in there, and we should be able to help
11 in that prioritization and packaging effort.

12 I also think that BellSouth needs to help us get more
13 of these defects handled in a more expeditious manner. Whether
14 in the future they institute a more stringent testing prior to
15 deploying their releases or whatever it takes, we have more
16 beta testing with them, but I think we have to do a better job.
17 This process is snowballing, and over a period of time it's
18 going to become extremely unmanageable.

19 CHAIRMAN JABER: Go ahead.

20 MS. DAVIS: Hello, I'm Colette Davis with Covad
21 Communications. The points that I wanted to make based on our
22 commercial experience with change management is that currently
23 we have 14 change requests that are in the process that affect
24 our ordering. We order through LENS, EDI, TAG preorder and the
25 manual gateway. So these 14 change requests that are in the

1 process, out of those 14, 10 of those are defects. And a
2 defect means that the programming has been done based on the
3 requirements and there's a problem with the actual quality of
4 the programming. Therefore, out of these 14 that are change
5 requests that are impacting Covad, I still have 10 that are
6 defects that are impeding my ability to place mechanized
7 orders. Most of these require work-arounds, require
8 supplemental orders that have to be sent manually. So to
9 capture what has previously been said, there needs to be some
10 type of time frame that's established so that defects are
11 corrected and corrected within a reasonable amount of time.
12 The oldest defect that I have is back to August, and that is,
13 unfortunately, one of the ones that causes us the most
14 work-around time.

15 Now, the other item that I wanted to bring up has to
16 do with, again, the timeliness of new products and
17 enhancements. The time frame in order to get a new product
18 implemented or mechanized, manual to mechanized, it tends to go
19 from six months to eight months, even maybe a year. And for
20 Covad to implement a new product, that requires us to move out
21 of a mechanized ordering environment back to manual. So there
22 is a sense of urgency for the smaller CLECs to be able to get
23 that mechanization out on a product launch. So, again, some
24 stricter time frames and delivering mechanized ordering when a
25 product is launched is critical. All the other CLECs -- ILECs

1 do it, and BellSouth should be able to do it as well.

2 And at this point, Kyle, I'll turn it over to you,
3 Network Telephone.

4 MR. KOPYTCHAK: Great. Thank you. Network Telephone
5 would support AT&T's, Covad's, and ITC's position with respect
6 to sizing and prioritization and also specifically Covad's
7 position with respect to the time frame. I just would like to
8 touch and not belabor the fact that BellSouth brought to this
9 Commission today Change Request 557 with respect to the
10 mechanization of UDCs and the fact that they initiated that in
11 November of 2001.

12 I think from a standpoint when they bring facts like
13 that to the table, it shows that, number one, it's timely, and
14 number two, it's BellSouth addressing our issues. When, in
15 fact, Network Telephone requested that service -- and I'm not
16 sure of the date, but I believe it was all the way back as far
17 as February 2001. We recognize that at that time UDCs were
18 becoming a large portion of our broadband services as a result
19 of some of the other inefficiencies of their ADSL, so we needed
20 it mechanized immediately. It took over 11 months, and it's
21 still not fully mechanized. So I just want to stress, as
22 Colette did, the timeliness involved in some of the issues that
23 are needed.

24 MS. LICHTENBERG: I think I'm the cleanup hitter
25 here. The issue of change management, as Mr. Bradbury stated

1 when we started, is that changes to the OSS systems, changes to
2 the processes by which we have to do business can actually put
3 us out of business. And so the key things in a change
4 management process are understanding jointly what is going to
5 be done, when it is going to be done, how it is going to be
6 done, and what the downstream implications are.

7 CLECs have asked that we be able to define what CLEC
8 impacting means. BellSouth doesn't use my systems to make --
9 to send orders to themselves. BellSouth takes my EDI LSR after
10 it goes through their gateway, and their systems break it down,
11 send it off through additional legacy systems, and I don't know
12 what happens to it. Yet, BellSouth tells me that, in what
13 generally sounds like a fairly paternalistic tone, it's okay,
14 you don't have to change that local service request. You just
15 keep sending it. The changes will be transparent to you.

16 As we learned in the migrate by telephone number
17 debacle, that was not the case. And each time that CLECs were
18 provided with documentation and told it was a minor change,
19 orders were rejected that should not have been rejected. We
20 are simply asking that BellSouth work with us to look at
21 changes so that they impact both sets of businesses and we work
22 together. BellSouth will tell you that to prioritize all
23 change requests together, both BellSouth-initiated and
24 ALEC-initiated, is going to hurt BellSouth. Far from it.

25 If we see a change that BellSouth is going to make

1 that will make the systems better, we'll put it at the top of
2 the list because it is to our benefit that we understand the
3 way the systems work and that we make sure they do work. So
4 that prioritization process, the work that your Staff has done
5 with the KPMG test to discover that once we think we've reached
6 an agreement on prioritization, that there is a backroom
7 process, a star chamber, that changes that process is
8 absolutely critical. And I know that the Staff and KPMG
9 continue to look at this, and it is one of the things that the
10 ALECs have asked for.

11 We think that sizing is important, but unless we talk
12 to the actual people that actually know the systems, not the
13 BellSouth change control IT guru, but the people that actually
14 program LEO and LSOG and the other systems, only if we work
15 together can we say, wait a minute. Are you sure that by doing
16 "X," you're not going to cause defect "Y"? And as this team
17 has said over and over, the number of defects is exceedingly
18 high. And it's BellSouth that decides if those defects are
19 important and if those defects need to get fixed.

20 You asked a question, Madam Chairman, I believe, of
21 Mr. Pate about what happens if you put in a change request, who
22 says yes or no. BellSouth says yes or no. When BellSouth
23 comes back and says, too expensive, they don't come back and
24 say, it's very expensive to change this system, but what is it
25 you're really trying to do, and is there a better way, a less

1 expensive way to do it? If we prioritize changes together,
2 that will no longer be an excuse.

3 We also have our changes echoed back to us which give
4 us more information. Well, we try to describe our change
5 requests, but if we don't have the right resources to work with
6 us, it's very difficult for BellSouth to understand what they
7 are. Yet BellSouth only now has decided that they will bring a
8 single IT person to the table.

9 We have an escalation process. Absolutely,
10 definitely. It escalates around in circles inside BellSouth,
11 and if we really need something done, we have to go to a
12 Commission and take your time to ask you to make that change.
13 That's parsed CSR; that's migrate by telephone number and name;
14 that's line splitting; that is the correction of a number of
15 these defects; it's the Single "C" order process that we have
16 asked for over and over but couldn't get until we found a
17 Commission who could work with us and order it. We really --

18 CHAIRMAN JABER: Ms. Lichtenberg, on the shared
19 prioritization, BellSouth has to prioritize among your changes,
20 but they also have to prioritize among all of the ALEC changes.
21 So do you have a suggestion for us on how that could be done?

22 MS. LICHTENBERG: The ALECs work jointly to come up
23 with a single prioritized list of ALEC changes. And we as
24 ALECs, it's incumbent upon us to work with each other and to
25 make sure that we understand how those changes impact us. What

1 we're asking for is that the BellSouth changes -- that the
2 changes they want to make to their systems that take up
3 additional capacity, that they share those with us as well and
4 that we prioritize together. Clearly everyone wants these
5 systems to work, and only by working jointly can we make them
6 work.

7 I think that the ALEC redline proposal that
8 Mr. Bradbury mentioned is a step in the right direction. This
9 is a process that works in other states. It doesn't work in
10 BellSouth.

11 CHAIRMAN JABER: Any other comments from the ALEC
12 panel?

13 Okay. BellSouth panel.

14 MR. PATE: Yes, Commissioner. I'll be the primary
15 spokesperson to address the issues on change management.
16 First, I'd like to talk from the presentation that we prepared
17 just to discuss some of the things in change management. We
18 are very committed to the change management process. I think
19 that's proven by the amount of work and the resources that we
20 devote to working with the ALEC community as a whole. But
21 there's some particular things I'd like to bring to your
22 attention that we're doing to even make this process better,
23 and we're doing this because we've listened to the ALEC
24 community.

25 I'd like to point out very first that it was

1 referenced in someone's comment earlier, but Mr. Dennis Davis
2 is here today. Mr. Davis is the OAVP, the operational
3 assistant vice president for BellSouth, that has responsibility
4 for the change management process as well as release
5 management. And he's here because he heard of this proceeding,
6 and he wanted to come hear what the ALECs were saying even
7 though he deals with them day in and day out as part of the
8 process. He wanted to be present here to also better
9 understand and hear even more. That's some of the
10 commitment -- or at least a show of the commitment made to this
11 process.

12 Let me talk about -- with respect to what we have
13 laid out here. The first item I have is, make the process more
14 user-friendly. BellSouth is trying to do that and provide more
15 support to the ALECs. Let me give you some illustrations of
16 what I'm referring to here.

17 BellSouth has begun distributing to the change
18 control process members a single document that outlines all
19 document changes associated with each release. Now, this will
20 allow them to consult a single source to learn about the
21 business rules and other related documents that have changed.
22 That's a drastic improvement from what has been there before.

23 We've also agreed at the ALECs' request to separate
24 the release schedule based on system versus nonsystem impacting
25 type changes, and we're updating the Web site to reflect that.

1 In the fall of 2001, we began providing members of the CCP a
2 daily activity report which shows the update activity on each
3 individual change request. In March of 2002, we'll begin
4 distributing a quarterly tracking report that's in an Excel
5 format that allow them to pull it down to Excel and do whatever
6 they wish (phonetic) to better understand their particular
7 request.

8 We've also changed the manner in which we actually
9 conduct the prioritization meetings. What I mean by the
10 prioritization meeting, this is the meeting that's held where
11 we come together and actually use a voting methodology to
12 prioritize a change request. The meeting in the past had to be
13 held in person, and the information associated with that
14 meeting was typically distributed at the meeting. Well, now
15 we've expanded to get the information out in advance and
16 actually will conduct those meetings via a conference bridge to
17 assist those that have difficulty in traveling to the meeting.

18 CHAIRMAN JABER: Who attends the meeting?

19 MR. PATE: The meeting is attended by the ALECs
20 participating in change control. This is a major meeting.
21 They have a monthly meeting as it is. The prioritization does
22 not necessarily occur monthly, though. It's typically on a
23 quarterly schedule. So that's the meeting that we're referring
24 to here.

25 I introduced Mr. Davis that was here, but we also

1 have some other members that we now have attending these
2 monthly meetings. There's been some reference made to this.
3 We have members of the account team, a gentleman that
4 represents the account teams that the ALECs interface with that
5 attends the meetings. So he can hear and be a part of this
6 discussion. As reference, we have a member from our IT
7 department that comes to these meetings that can help speak to
8 the issues and take them back. We also have members of our
9 staff and the change review board. These are people that
10 represent the project managers of the various interfaces and
11 such that attend these meetings. So the bottom line is, we're
12 trying to bring the people, the appropriate resources to the
13 meetings themselves so that the meeting becomes a more
14 meaningful dialogue in exchange of information.

15 The next item I have up there is to modify the
16 process and response to the needs of the CLEC community. In
17 the summer of 2001, we implemented a process to distribute the
18 BellSouth business rules for local ordering earlier. We
19 have -- it was a 5 day in advance, for example, for nonsystem
20 changes and 30 days for systems. Well, there are intervals
21 associated with this now that where -- the way it's currently
22 worded for a major release, that will be provided eight weeks
23 in advance; for minor release, five weeks. For those that are
24 nonsystem impacting changes will get 30 days notification.

25 Also, in December of 2001, a coding matrix associated

1 with each release was developed so that it would be a more
2 simplified version of all the user requirements to try to aid
3 in the ALECs interpreting the coding requirements -- the coding
4 needs they would have. I don't have the exact date, but
5 sometime also in late 2001 we began distributing a complete
6 schedule of the release implementation for the year. So they
7 could see what the releases are scheduled, and based at that
8 point in time based on the information, they'll know what's
9 going to be in those releases when they see that schedule.

10 Adding CCP performance measures is another item I've
11 noted. We had added three new performance measures to even
12 continue to monitor a commitment to this. The CLECs will
13 receive timing notification of all BST software defects, so the
14 time periods associated with those defects, a measure has been
15 put in place for that.

16 We also have a measure for the percent of the change
17 requests submitted by the ALECs that are accepted within 10
18 business days. And a third measure that was added was a
19 percent of change requests rejected by BellSouth based on the
20 reasons specified in the change control process.

21 We've also made a commitment to implement the top
22 priority change requests for this year. We've said that of
23 those change requests, we will definitely state now we'll get
24 15 of those in, and 7 of those, I believe, have already been
25 scheduled. And the others will be scheduled and put in place

1 during the second half of the year, the third and fourth
2 quarters.

3 The implementation and availability of the CAVE
4 testing system has been expanded also. When that system was
5 initially rolled out, the intent was for a period before and
6 after releases for that to be available for the ALECs to test
7 the functionality associated with that release. Essentially,
8 if you look at the schedule now, we've expanded that beyond
9 that initial approach to essentially make it more available so
10 they can get in there and test the functionality and work with
11 the various issues that are going to be impacting their changes
12 for that particular request.

13 A comment you've heard throughout that appears to be
14 a major issue, a theme, that we've heard and we have been
15 working diligently with the community deals with the capacity.
16 How does BellSouth allocate the capacity and the releases so
17 that the ALECs' change requests will be worked? This -- you
18 know, I'll admit to tell you right now, this is a challenge,
19 because as you try to take a look at the releases and take a
20 look at all the changes that we have before us, it is a major
21 balancing act to take all the resources necessary to implement
22 each and make sure that you can really fulfill those requests.
23 This, of course, had some initial roots back here through the
24 third-party testing exception that was raised on this issue.
25 And you're probably familiar with a proposal that was made that

1 we would allocate 40 percent of the released capacity to the
2 ALECs' change requests as well as any ALEC-driven mandates. A
3 mandate could be, for example, the parsed CSR that we have
4 already discussed today. And then 60 percent of that remaining
5 capacity then would be allocated to BellSouth's what we refer
6 to as a public switched network mandate. By that, I'm talking
7 about NPA overlays, for example, or number pooling. And then
8 we would have within that 60 percent what we need to do to deal
9 with the defects and regular maintenance of our systems and
10 then the remaining part of that to deal with the
11 BellSouth-initiated change requests.

12 So we were saying by the time we take a look at all
13 of our maintenance needs, getting all the defects that's been
14 corrected that's been discovered and then do what we have
15 requirements from a public switched network, we need 60 percent
16 of that capacity, but we'll give you the 40 other percent. And
17 we even developed a tool to help them, a sizing model, so they
18 could see what that 40 percent would require in terms of each
19 individual change request. The ALECs as a whole have said that
20 they find that unacceptable. Some of the words I read is they
21 said it was nothing more than maintaining the status quo. And
22 we're puzzled by that comment, frankly. We were definitely
23 trying to do something that would help in this prioritization
24 process as we listen to their needs specifically, their
25 requests.

1 As a result of that, we have taken a look at a
2 different proposal. I have the handout that was passed to
3 everyone at the break that's labeled, "CCP Release Capacity
4 Planning Proposal 2/12/02." This was actually a copy of what
5 was presented to the ALEC community on February 12th. And in
6 fairness to them at that point in time, you know, some of this
7 was new, and they had not digested all of this. I'm sure
8 they've had an opportunity to further digest since then because
9 this was just, as you can see, very recently. But if you flip
10 to first page, you can see that we heard what they said, and we
11 came back with a different approach.

12 First is, we made it clear that we'd have three to
13 four releases annually plus any maintenance releases. Then --
14 there's six different types of changes. We have listed here in
15 the second item a Type 2, 3, and 6 features would be scheduled
16 prior to 4 and 5. Let me put that in terms outside the process
17 so you can understand what it's saying. The 2, 3, and 6 deal
18 with releases associated with industry changes, orders from the
19 regulatory authorities and defects.

20 The 3 -- excuse me. The 4s and the 5s deal with the
21 CLEC-initiated changes in BellSouth. The major difference in
22 that a lot of time is you can talk about a 4 and 5 as an
23 enhancement. It's not something that's impeding the ability to
24 submit orders, but it would help and make it nicer because of
25 their individual needs if we did these things, but they are

1 enhancements. Well, the 2, 3s, and 6s obviously need to be
2 done. There could be some mandates associated, in particular
3 the defects which are categorized as 6. So it makes sense, and
4 I think they're in agreement with this as well, that particular
5 piece of it. Those take precedence.

6 The third item is, we provide release capacity
7 measurement feature prioritization matrix. We have an example
8 of that matrix on the very next page. This gets to really
9 taking a look at each of the change requests you're submitting
10 and would give you some information back on that change
11 request. Also, goes with this is the second bullet which we'll
12 get in more detail in a second, capacity associated with that
13 change request. But here, as you look and refer to it, this is
14 where we're trying to identify the change request. We'll
15 capture the description, and you can see, particularly if you
16 look down the left-hand side, we're trying to identify all the
17 systems impacted with that. And that helps us identify, if you
18 go all the way over to the right-hand side, any type of
19 integrated testing that's going to be needed because it could
20 impact multiple systems.

21 But right in the middle of that, you will see the
22 level of work effort. This gets to a major point that we're
23 trying to develop here to assist the prioritization process,
24 and this is at the request of the ALEC community; that is, give
25 them some way to understand the sizing, the work effort that

1 has been said associated with a particular change request so
2 they can use that to evaluate the prioritization, because
3 sometimes at the face value you're looking at change requests
4 it may look simple, but it may be a major effort from a coding
5 change to the system. And what we've done is, we've developed
6 the model to help them evaluate. We provide that information
7 back to them. It uses a resource model that we put in hours of
8 resources, and you can see the way it's listed -- the way this
9 will come out. One unit equals 100 release cycle hours. What
10 we're talking about there, that's the overall programming
11 effort all the way from analysis -- right up front the
12 analysis, then the design, then the coding, then the testing.
13 How much does that take so that you deliver a product for that
14 release, that software release? So we will --

15 CHAIRMAN JABER: Mr. Pate.

16 MR. PATE: I'm sorry, yes.

17 CHAIRMAN JABER: Do you acknowledge that your change
18 requests will not always take priority over the ALEC changes?

19 MR. PATE: Yes. You're referring to the Type 4s and
20 5s? Correct, they prioritize that is what we're saying here.
21 So they would prioritize it.

22 Now, do I understand your question correctly?

23 CHAIRMAN JABER: Well, I'm just trying to evaluate
24 whether this satisfies the ALEC concerns, and at first blush,
25 doesn't -- it looks to me that you're talking past each other,

1 but perhaps that's my lack of understanding. So you're free to
2 correct me if I'm wrong, but I hear them say, we want to be
3 part of the team that evaluates the properties, because they
4 acknowledge that BellSouth will have changes and the ALEC has
5 changes. They want to look at the criteria that is used for
6 the ALEC changes and they also want to look at the criteria
7 that BellSouth uses. So this doesn't make them part of the
8 team real-time, does it?

9 MR. PATE: Yes, we believe it does.

10 CHAIRMAN JABER: Okay. Explain that to me.

11 MR. PATE: This makes them part of the team real-time
12 from the up front prioritization of all those requests that are
13 impacting to those systems. What I'm hearing the ALECs say,
14 and I think it's what you're referring to, is then for what we
15 need to do internal for our systems. They're not a part of
16 that process, and we're still proposing that they should not be
17 a part of that process. Those are the things that BellSouth
18 needs to do for managing those systems internal, but what we're
19 trying to say in this, but we'll only take so much release
20 capacity to do that.

21 CHAIRMAN JABER: Right. But isn't it correct that
22 they want to be part of that internal process because they're
23 worried that the changes you make to address their concerns
24 actually create defects in other areas?

25 MR. PATE: That may be part of their concern. I'm

1 not sure that I've heard it from that perspective, the way you
2 phrased it.

3 CHAIRMAN JABER: That's what I heard.

4 MR. PATE: Well, I heard more from a standpoint that
5 they wanted to be in that to ensure their changes was getting
6 the capacity that it deserved and that our changes was not
7 taken away from theirs.

8 CHAIRMAN JABER: Okay. Hang on to that thought
9 because I want to make sure I understand.

10 Ms. Lichtenberg, like a two second answer.

11 MS. LICHTENBERG: You are absolutely correct,
12 Madam Chairman.

13 CHAIRMAN JABER: Okay. Well, so what I heard was
14 accurate, so now you need to respond to that.

15 MR. PATE: Well, our position is that the processes
16 we're proposing here would take care of that, and through the
17 capacity management of itself, that should not be an issue.
18 The systems that they're talking about and the systems that
19 they're trying to expand the overall scope of change control
20 are systems, as we have said in trying to deal with the
21 definition, are not impacting to their interfaces up front.
22 They're not ALEC affected because one of the issues they raised
23 here earlier in their points of discussion, that there is
24 currently discussion over that definition of what is ALEC
25 affecting. We're saying when we do an internal change for our

1 system -- the system we talked about here today, for example,
2 is a loop facility assignment control system. That's internal
3 to BellSouth. Our obligation is to make that change and make
4 sure it does not have any adverse impact on processing their
5 orders. When we make that change to that system, just
6 recognize that those are the downstream provisioning systems
7 that are the same for BellSouth's retail as it is for the
8 wholesale customers that we serve the ALEC community. So from
9 that viewpoint, those changes are impacting everyone the same.

10 For them to say that they should be involved with
11 that change, our position is, no, you do not need to be
12 involved, but we have an obligation to make those changes
13 properly so it does not impede what you're doing.

14 CHAIRMAN JABER: I understand your position, but I
15 also understand that in five minutes I caught that you were
16 talking past each other, and it strikes me as there's plenty of
17 room here for more dialogue.

18 MR. PATE: I agree.

19 CHAIRMAN JABER: And I don't know if you were
20 personally involved in assessing what the ALEC request is, but
21 what they're saying is that to legitimately understand the way
22 you put priorities on changes, they want to be part of a team.
23 And you may give some thought to putting a group together that
24 meets as often as it needs to to evaluate what the criteria are
25 and what the priorities should be.

1 MR. PATE: Yes, ma'am.

2 CHAIRMAN JABER: And maybe that's an independent
3 group that's represented by, you know, ALECs and BellSouth, and
4 frankly, maybe you bring another ILEC in. An independent group
5 that takes a look at these issues might be worth pursuing.

6 MR. PATE: And I think you hit on a key point. I
7 mean, this is evolving. We are continuing with discussions.
8 That's why Mr. Davis is here. He is the one that is involved
9 with these discussions day in and day out. It is not I, but I
10 do have frequent discussions with him as well as attend
11 meetings on these discussions with Mr. Davis and other
12 executives at BellSouth trying to have a full appreciation for
13 what's being proposed.

14 This proposal that we have today on the table we
15 think deals with those issues, however, recognize the one that
16 they still are concerned about, and that is, being a member of
17 that internal process. And that's one that we still have not
18 come to any type of agreement on. What we are looking at that
19 I can tell the Commission today, though, with respect to the
20 definition of what is ALEC affecting, we have in our hands and
21 we're evaluating and I think we're almost to the point of
22 proposing it, we'll use exactly what Verizon has currently in
23 their process for that definition. And that's one apparently
24 that's worked there. Ms. Lichtenberg has made several nice
25 comments about Verizon, and obviously, the FCC has accepted

1 their overall process since they are in the long-distance
2 business.

3 But we feel this tool that we are proposing would
4 give them what they need for capacity management assessment at
5 prioritization, and then as you can see in this page we're
6 talking about from a capacity standpoint that, first, the
7 estimated capacity assigned goes to -- from the Type 2 through
8 6 features provided. Capacity that would be remaining after
9 you look at those Type 2, 3s, and 6s, you would then allocate
10 the remaining capacity to 4 and 5s. And we're proposing today,
11 since there seems to be a concern about making sure they get
12 their share even of that, that we'll ensure there's a 50-50
13 split of a BellSouth 4 versus the CLEC's 5 that's initiated.

14 We'll also -- one of the things they have stressed is
15 they want to get some type of commitment to get these
16 implemented. They've made reference to the backlog, and it
17 appears it will take through -- I think Mr. Bradbury said
18 2005 to clear it out. So they've requested a 60-week interval.
19 We had no problem with the 60-week interval concept, but it's
20 got to be based on available capacity because there's only so
21 much capacity to do the changes. So to say 60 week can be a
22 target, but let's look at the capacity. We're going to give
23 you all the information on that, each individual request, to
24 help you understand what that takes up in capacity. Now, help
25 us with all that to manage it, so we can truly put in those

1 that are the most important to you.

2 As I said at the beginning, this ink is still pretty
3 wet on this proposal, and I think this represents just the
4 ongoing effort that we have through Mr. Davis's team to work
5 with the ALEC community. Change control process is going to be
6 the major process that drives our working relationship as we
7 continue to go forward for many years. We're committed to it.
8 We want to find a way that's mutually acceptable to everyone so
9 that everybody's interest can be served. And I speak on behalf
10 of BellSouth that we wish this process to be an effective
11 process. There's nothing hidden from the standpoint of what
12 we're trying to do with the capacity management and giving them
13 the information they need on each of the individual change
14 requests to make it happen. Thank you.

15 CHAIRMAN JABER: Thank you, Mr. Pate. Any other
16 comments from the BellSouth panel?

17 MR. SCOLLARD: Yes, very quickly. There was one
18 issue that MCI raised and that is including the billing
19 invoices and usage records as part of change control.
20 BellSouth's position is that generally what we provide are
21 buckets of records that are already controlled by the
22 guidelines at OBF, and that's the appropriate place for those.
23 What we have offered, though, is on the changes to service
24 orders and those kinds of processes, if there is a billing
25 system change that would be required to put those in, that we

1 would look at those. However, since our retail customers are
2 using the exact same system as we're using for the CLECs, it
3 probably will take some additional time to make sure we don't
4 adversely effect those customers when we put them in.

5 COMMISSIONER BRADLEY: Madam Chair?

6 CHAIRMAN JABER: Yes.

7 COMMISSIONER BRADLEY: At some time in the near
8 future, I would be interested in hearing what Verizon's
9 proposal is.

10 CHAIRMAN JABER: Mr. Pate, are you familiar enough
11 with the Verizon proposal to articulate that for us in a
12 summary fashion?

13 MR. PATE: I have seen it, but I haven't internalized
14 it.

15 COMMISSIONER BRADLEY: Okay.

16 MR. PATE: We can make that available to you, the
17 language that we're --

18 COMMISSIONER BRADLEY: Well, I don't want to put you
19 at an unfair disadvantage by asking you to explain something
20 that you don't know the details of, but I'd just be interested
21 in knowing what it is.

22 CHAIRMAN JABER: What about the ALECs? Anyone that
23 is actually participating in the Verizon method?

24 MS. LICHTENBERG: I'm doing this off the top of my
25 head, and I'll try to be rapid. Verizon doesn't refer to ALECs

1 as "them." They refer to us as part of the team. We work
2 together to prioritize everything. There is no
3 reprioritization. Billing system changes are included in
4 change management. Changes to the internal systems -- Verizon
5 learned after the New York meltdown that it was critical to
6 talk about internal changes and let CLECs know when they were
7 going to take place. The result -- the problem where CLECs
8 were missing huge numbers of notifiers after a Verizon internal
9 change taught them that.

10 We had originally brought the Verizon change
11 management proposal to BellSouth as the original starting point
12 for change management. We continued to try to work with
13 BellSouth to do that. I have not seen BellSouth's new
14 definition of CLEC impacting. There was one at the change
15 management meeting on the 12th. It was not one that allowed us
16 to see into the systems, and it was not one that responded to
17 your question about, shouldn't everything be prioritized
18 together?

19 CHAIRMAN JABER: Okay. Ms. Lichtenberg, you just
20 represented that you brought the Verizon change management
21 model to BellSouth.

22 MS. LICHTENBERG: Yes. Tyra Colbert (phonetic), who
23 I think her new last name is Hush (phonetic), who is our
24 representative with MCI, when change management started, we
25 wanted to start with the Verizon process because it was

1 working. That was some years ago.

2 CHAIRMAN JABER: Okay. And Mr. Pate just said that
3 they'd be happy to implement the Verizon change proposal if
4 that's what the ALECs want.

5 MR. PATE: That was specifically referring to the
6 definition we're talking about for ALEC affecting. That
7 appears to be a major issue at this point in time. I don't
8 want to represent that we're willing to adopt everything within
9 Verizon's change control process. I'm not even familiar what
10 everything is in that context, specifically --

11 CHAIRMAN JABER: Mr. Pate, you can go back and look
12 at the Verizon model and review for us what part of that model
13 you would be willing to implement on your own.

14 MS. LICHTENBERG: If I could add a couple of things
15 about the Verizon process that my colleagues have reminded me.
16 There is no backlog in Verizon. Testing is done very well, and
17 when defects are found, they're announced and corrected
18 sometimes in days. There are issues, as there always are with
19 software development, but the CLECs would be more than happy to
20 have the Verizon process in BellSouth.

21 CHAIRMAN JABER: And that's a Verizon process that
22 Verizon is using in Florida today.

23 MS. LICHTENBERG: I can't speak to Florida. It was
24 developed by the old Bell Atlantic region, and we're not doing
25 business in the Verizon footprint here. I think there were

1 some changes that were agreed to because of the GTE merger and
2 the merger conditions. We would be in favor of the current
3 process that works in New York, Pennsylvania, Massachusetts,
4 New Jersey, and I believe it is very similar to what is in
5 Verizon Florida.

6 COMMISSIONER PALECKI: Ms. Lichtenberg, when you say
7 that the Verizon process allows the CLECs to see into the ILEC
8 systems, what do you mean? Does this mean that you actually
9 have IT people who have every detail of the software itself and
10 can help design the software?

11 MS. LICHTENBERG: Yes, that is correct. In Verizon
12 change management is a process that is run by the information
13 technology organization. And so when a Verizon change is
14 suggested, the actual people who write the business rules, do
15 the coding are there. And so rather than -- Verizon is
16 slightly different than BellSouth. They don't outsource their
17 IT. So we find it much more important to have IT people
18 talking to IT people so that they understand fully what the
19 systems are capable of.

20 One of the things that that does is, it allows you to
21 say, here's a release, and we've got this much of it filled up,
22 but we see farther down on your change management list three
23 changes that we could actually drop in because we have a little
24 more room, and we can talk about it and we can do it.

25 One of the other things that the Verizon process

1 allows us to do is to determine as a team -- and we do view it
2 as a team, we talk to the actual IT people all the time -- to
3 determine as a team if, for instance, we want to skip an
4 industry-mandated release. We agreed in Verizon to skip
5 LSOG 3 and move on to LSOG 4, for example, because jointly we
6 decided that would be a better process.

7 CHAIRMAN JABER: Mr. Pate, were you done with the
8 BellSouth panel?

9 MR. PATE: Yes, I was. Thank you.

10 MR. BRADBURY: Madam Chair, may I have a minute or
11 two? There's three points I'd like to talk about. It will
12 help clear up Mr. Pate --

13 CHAIRMAN JABER: Actually, we're going to move on.

14 MR. BRADBURY: Okay.

15 CHAIRMAN JABER: And are we moving on to data
16 integrity/performance measures, Ms. Boone? Is that what you
17 all decided?

18 MS. BOONE: Yes, very briefly.

19 CHAIRMAN JABER: Okay. Who wants to start that?

20 MS. BOONE: AT&T will be kicking off this panel.

21 MR. TIMMONS: Good afternoon. My name is K. C.
22 Timmons. I work as a performance measures manager for AT&T, so
23 what I do on a daily basis is to monitor and analyze the
24 performance data that is reported by BellSouth. In the last
25 two years that I've been doing this, my analysis has uncovered

1 numerous data integrity issues, and, you know, I've witnessed a
2 consistency of instability with the BellSouth performance data.
3 So if I can refer you to the handout very quickly.

4 The first thing I want to talk about are gaps or
5 insufficiencies in the BellSouth raw data. These gaps prevent
6 the ALECs from being able to verify the accuracy of the
7 performance reports within BellSouth. First -- and I'll run
8 through this briefly. Stop me if you have any questions.

9 There are some types of customer orders, although
10 present in BellSouth's legacy systems, that they are not
11 providing to the ALECs or to the Commission within their raw
12 data. Some examples of that: Orders classified as projects,
13 confirmations of canceled orders, or also directory of listing
14 orders for some performance measures.

15 Projects in particular are critical to identify
16 customer experience and to be able to monitor that. What we
17 have with projects, orders with -- if a customer places an
18 order with 15 lines or greater, then BellSouth will classify
19 that as a project. And what happens is, BellSouth, like I
20 said, they have that data within their legacy systems. They do
21 not provide that to the ALECs. So with our bigger customers
22 who have orders of 15 lines or greater, we're not able to
23 monitor that performance at all. So -- and BellSouth will tell
24 you that they provide raw data that allows the ALECs to
25 reproduce their reports in PMAP, but quite frankly, that's not

1 enough, and that's not what the Commission has ordered.

2 The Commission has ordered that BellSouth provide raw
3 data in order for ALECs to be able to validate the performance
4 reports. And with the current state of the raw data and the
5 gaps that are there, we're not able to do that. We cannot
6 validate the performance measures and reproduce some of the raw
7 data that they have and that they're missing.

8 Next, on Page 2 of the handout, I would just like to
9 briefly mention that there are some performance reports. And
10 we're kind of shifting gears here from raw data to the actual
11 performance measures reports that summarize the measures.
12 There are some of those measures that through AT&T analysis and
13 through BellSouth analysis, there are reports that are not
14 giving correct data. Some of these -- data for acknowledgment
15 message timeliness and completeness. What AT&T did here is, we
16 have compared multiple reports that should give comparable
17 data. BellSouth came back and addressed our concerns and said,
18 hey, here's the reasons that these reports should not match.
19 And when we went back and reevaluated the data, we agree that
20 the reports should not necessarily match each other; however,
21 the real data that was there was not reflective of the reasons
22 BellSouth was giving us.

23 Also, jeopardy notice interval is another issue where
24 BellSouth in a January 25th filing in Florida admitted that
25 they are still going through program coding changes for this

1 measure. And lastly, the average completion notice interval
2 report is another example where the performance data by
3 BellSouth is not accurate. There are exclusions to that report
4 that BellSouth has admitted, so of which are completion notices
5 for orders that are completed in a different month from when
6 the notice is sent are being excluded. A big one for AT&T is
7 the stand-alone local number portability numbers. We have
8 thousands of orders in Florida that fall under that category,
9 and BellSouth is currently excluding those orders from this
10 performance measure.

11 And lastly, going back the project issue, the LSRs
12 classified as projects. It's another big -- like I said, our
13 biggest customers. Their completion notices for their orders
14 are not showing up in the data. So essentially, because
15 BellSouth has these admission of reports that are giving
16 incorrect results and also because of the gaps that are in the
17 raw data and the incomplete raw data, the ALECs really have no
18 assurance that the data we're looking at within PMAP is
19 correct. So with that, I'll hand it back over to Covad.

20 CHAIRMAN JABER: Ms. Boone.

21 MS. BOONE: Network Telephone.

22 MR. KOPYTCHAK: Thank you. With respect to picking
23 up just where AT&T kind of left off -- Ron, if you would.
24 Thank you, Ron. I think Mr. Varner had stated earlier that
25 they were aware of some June, July, and August repost with

1 respect to the flow-through, and I'd just kind of like to draw
2 your attention to the December repost. If you notice the
3 December repost, or the initial December which is the top, our
4 concern was with the TAG column that I've highlighted in
5 purple, if you would.

6 You'll notice that there's no TAG orders for Network
7 Telephone, and what you're seeing there is, the blue for the
8 top and the bottom are all Network Telephone, and then the
9 yellow is Network Telephone's, and then the subsets underneath
10 are BellSouth's. So you'll see the December '01 and then the
11 December repost. So there was actually a December repost. You
12 will see that all of our figures changed, if you look at the
13 first yellow line and the second yellow line; however, none of
14 BellSouth's numbers changed. And I'm not sure -- maybe
15 Mr. Bradbury can help me because I think that he said that, in
16 fact, there was another posting where BellSouth's aggregates
17 did change, but my concern was with the TAG orders.

18 Network Telephone doesn't implement TAG, and on the
19 repost we now have 72 orders -- 73 orders issued in TAG, and
20 it's very confusing. And I guess my point here is that I don't
21 understand how the data can be tracked correctly if this is the
22 situation.

23 CHAIRMAN JABER: Mr. Kopytchak, so your point is
24 where we see a 72, that should be zero?

25 MR. KOPYTCHAK: Yes, ma'am. Seventy-three, actually.

1 On the repost on the bottom, it's actually 73. There was 72
2 for OCN8772 (phonetic), and then one order for 2911, but we
3 don't implement TAG at all.

4 CHAIRMAN JABER: Okay. And your point is that flaw
5 is indicative of the data not being accurate throughout.

6 MR. KOPYTCHAK: Well, we don't understand why the
7 repost was the way it was, and we don't understand how -- and
8 we've also had some TAG orders in the past as well that we've
9 questioned and not been able to get an answer to.

10 CHAIRMAN JABER: Okay. Mr. Pate or Mr. Varner,
11 actually, anyone, before we leave this point, can you explain
12 that discrepancy?

13 MR. VARNER: No, we can't. We're just seeing this
14 for the first time right now. We can go back and look at it.
15 We've seen these type things happen before. And invariably
16 when we've gone back and looked at it, we've found out that it
17 was legitimate, that orders did, in fact, come in through TAG.
18 One thing that happens --

19 CHAIRMAN JABER: That the order did come in through
20 TAG?

21 MR. VARNER: Yeah.

22 CHAIRMAN JABER: Mr. Kopytchak asserts that they
23 don't even use TAG.

24 MR. VARNER: Like I said, we'll just have to go back
25 and see what happened to it and why this is occurring. We have

1 seen them happen before. We've had folks make those claims and
2 then come back and find out that, yes, in fact, they did come
3 in that way for whatever reason. But just sitting here looking
4 at it, I can't tell you why.

5 The one thing that I can point out, though, is he's
6 talking about a repost. The difference up there, I believe, is
7 preliminary versus final data. There was no reposting of
8 December. We posted preliminary data like we always do, and
9 then we post final data. But I can go back, look at that,
10 include it in the response with all of the other, you know,
11 CLEC-specific things that we'll put in in a week.

12 CHAIRMAN JABER: Yes. Thank you.

13 MR. BRADBURY: Can I ask Mr. Varner to explain then
14 why the numbers filed with the Georgia Commission on
15 January 31st for the CLEC aggregate were different than the
16 numbers on either of these? That's -- if you can find that
17 data --

18 CHAIRMAN JABER: Mr. Bradbury, are you referring to
19 this chart?

20 MR. BRADBURY: Yes, ma'am.

21 CHAIRMAN JABER: So that we can follow what your
22 question is --

23 MR. BRADBURY: As Mr. Kopytchak said, there are
24 actually -- the CLEC aggregates, if you look at them there, you
25 don't see any change in the data. BellSouth filed this --

1 purportedly this very same data with the Georgia Commission on
2 January the 31st. The CLEC aggregate numbers in that posting
3 were different from this. Specifically, there was a
4 difference -- there was a shift between LENS and TAG that was
5 there.

6 MR. VARNER: That's right. There was no difference
7 in the total; there was a shift between LENS and TAG between --

8 MR. BRADBURY: That's correct. Apparently across a
9 number of CLECs.

10 CHAIRMAN JABER: Okay. Mr. Varner has indicated that
11 he'll respond to your questions and ours in next week's filing.

12 MR. BRADBURY: Thank you.

13 MS. BOONE: Covad just has a few brief comments. On
14 Page 14 of our filing, you will see -- the first thing we
15 highlighted is that KPMG has about 10 exceptions open on data
16 and metrics. And as KPMG has been struggling with trying to
17 reconnect the metrics so has Covad and other CLECs. And one of
18 the biggest differences we found between the BellSouth data and
19 the Covad data was the affected volume, and the reason for that
20 on a lot of these metrics is because of these exclusions. And
21 what an exclusion does is it kicks an order out of the average.
22 And where that can come into play, for example, is on the order
23 completion interval. How long on average did it take BellSouth
24 to get the ADSL loops out to Covad? And what we noticed was a
25 high volume of L coded orders.

1 Now, according to the business rules, an L coded
2 order is an order in which you've asked for either longer or
3 shorter than the standard interval. Now, as a policy matter,
4 we don't do that, but sometimes later in the process if our
5 customer needs to change the day, we will change. So some of
6 them are going to be validly coded L. But we looked in July
7 and they're about 23 percent of our orders.

8 And so we actually conducted a manual review, and we
9 filed it here in the third-party test docket and also with the
10 FCC. And basically what we concluded was that we pulled the
11 original LSR and we pulled the Covad work logs that showed when
12 we got back the FOC, how long we had actually asked for, the
13 LSR, you know, has the desired due date on it, so you can
14 literally get out a calendar and count 1, 2, 3, 4, 5 to make
15 sure that we asked for the standard interval. And we found of
16 a small sample that we did -- I can't remember how many it
17 was -- it was like 15 in which BellSouth had erroneously
18 excluded, and the result of this was a downward bias on the
19 interval. And we are currently conducting that same analysis
20 on November data. We have not completed it yet. But
21 33 percent of our orders were excluded out of the order
22 completion interval in November.

23 We've recently raised this with KPMG and asked them
24 if they had encountered any L coded orders, and the response
25 back was that it was not part of the scope of the test because

1 they're not actually looking at their own orders and how
2 they're coded. That's not part of the metrics test, but it is
3 something that we think is of concern. And I think as long as
4 this Commission is going to be, you know, relying on
5 maintenance of service based on what's reported, we need to
6 have accuracy and understanding around what is being reported
7 here. Thank you. I think that's it.

8 Mary, sorry.

9 MS. CONQUEST: I think I'm last this time. Briefly
10 speaking, we again believe the data is flawed. There's missing
11 data. We brought that before two other commissions. We found
12 trouble tickets in our systems that were not reflected in the
13 TAFI system and the raw data that BellSouth had. They have not
14 disputed that.

15 We currently are working spreadsheets. We are
16 attempting to resolve this together as a team, and I will say
17 that that part is working well with us. We have spreadsheets
18 and we're working through the flow-through analysis at this
19 time. We have a number of orders that currently do not appear
20 to be part of the raw data that BellSouth provides. And so
21 we're attempting to get an understanding of why it has been
22 impossible over these months for us to reconcile our data and
23 working toward a common goal of accomplishing that. But at
24 this point in time, it is our opinion that the data is
25 inaccurate.

1 CHAIRMAN JABER: Thank you, Ms. Conquest.
2 BellSouth panel.

3 MR. VARNER: All right. How would you like for me to
4 proceed through this? It's after 5:00. I can --

5 CHAIRMAN JABER: Quickly.

6 MR. VARNER: -- do this in five minutes or five
7 hours, so you tell me how far you want to go with it.

8 MS. BOONE: Five minutes. I vote for five minutes.

9 MR. VARNER: I'm sure you would, but I was talking to
10 them.

11 CHAIRMAN JABER: The five hours would not acceptable,
12 but something sufficient would be --

13 MR. VARNER: What I could do is just respond
14 specifically to these. We've got responses to much of this in
15 a handout that's being made right now. So what I think I will
16 do is sort of go at a general level. There's some -- a couple
17 of specific things that I wanted to point to in there and maybe
18 do it that way, which will probably get us through it fairly
19 quickly.

20 CHAIRMAN JABER: Okay.

21 MR. VARNER: Okay.

22 CHAIRMAN JABER: Now, what have the parties decided
23 on maintenance and repair and billing? Update us on that. Do
24 we have a billing panel? I thought that during the break you
25 all were trying to work some issues out such that we didn't

1 need a billing panel.

2 MS. BOONE: I think we need a maintenance and repair.

3 MS. FOSHEE: Madam Chair, from BellSouth's
4 perspective, we have slides prepared on the billing, and we'd
5 be happy just -- I think they have been handed out. We'd be
6 happy just to file those as our response to comments that have
7 been filed in the record by the ALECs. But we can -- it's at
8 your pleasure whether we actually have Mr. Scollard present
9 those.

10 CHAIRMAN JABER: Okay. ALECs, I'm trying to
11 determine how much longer we need to go. So tell me, do we
12 need a billing panel, and do we need a maintenance and repair
13 panel?

14 MR. KLEIN: Madam Chair, from KMC Telecom's
15 perspective, we did speak to BellSouth off the record before
16 and just have a brief statement we do need to put on the record
17 with regard to billing. Aside from that, we don't feel there's
18 a need for a panel.

19 CHAIRMAN JABER: Okay. Great.

20 MR. KLEIN: I don't know. There were two other ALECs
21 listed on the agenda as having billing issues, though.

22 MS. LICHTENBERG: MCI WorldCom has noted its billing
23 issues in our filing. We are still having them, and we are
24 trying to work through them, but I don't think we need to take
25 the time of this Commission at this moment. We'd like to

1 reserve the ability to make statements later.

2 CHAIRMAN JABER: Okay. Then after Mr. Varner, we'll
3 go to maintenance and repair.

4 MR. VARNER: All right. First, I just wanted to
5 go -- I think I'll just work my way through here and tell you
6 what's in here, and there are a few points that I wanted to
7 stop on. First, the first few pages, Pages 2 through
8 7 identify several of the key metrics and talk about what our
9 performance has been on those. And what you can see in going
10 through it, that we're performing very well on them. The
11 preordering are on Page 2, ordering is on Page 3, and the
12 numbers there indicate the number of months that we met either
13 the benchmark or retail analog that was applicable to that
14 particular measurement. Page 4 are some ordering measurements.
15 You see some wherein there were zeros, but if you look over on
16 the left side, you'll see what the actual performance was. The
17 benchmark here is 97 percent in one hour. We hit 94.7, 94.5,
18 94.5.

19 Next would be some more -- some provisioning
20 measurements, installation, PT-30, and then some maintenance
21 measurements and some billing measurements, which brings me up
22 to sort of the place where I kind of wanted to go through them
23 in a little bit more detail. We have a set of comprehensive
24 metrics to evaluate BellSouth's performance. I don't think
25 anybody disputes that. The Commission has an extensive set of

1 measurements that they instructed KPMG to use. It consists of
2 some 75 measures, 2,300 submetrics. That's what they're
3 evaluating in the third-party test. So I think the size and
4 the scope of the measurements is pretty impressive. They were
5 developed through a collaboration with ALECs, and we've had
6 guidelines of several commissions to deal with those.

7 Now, the earlier slides on selected key measurements
8 for ordering, provisioning, and maintenance illustrate that
9 we're providing high quality service. And I should point out
10 that on the data integrity issue, that you've heard several, I
11 guess, references to the level of performance that BellSouth
12 has been having and the data that's being used to support the
13 view that we're not giving them good performance. That data is
14 coming from this system. It is the same data that they're
15 saying is flawed is the data that's being used to indicate that
16 we're not doing well. So I believe that there is a greater
17 degree of reliance and a greater degree of accuracy on this
18 data, and I'll just submit that for your consideration as you
19 work your way through it. And I can go through here, and as we
20 go through it, I think you'll be able to see in a little more
21 detail why I say that.

22 The next one is Slide 10 which is really the penalty
23 plan. The Florida Commission has ordered a penalty plan to go
24 in place, and it will begin with May data implemented in June,
25 if I remember correctly.

1 Next one is a few points on why we believe the data
2 is reliable and accessible. We provide monthly results to the
3 Commission. We provide the results available to the Commission
4 and ALECs at the secured Internet sites. This allows the ALECs
5 to go through and analyze this. As you heard Mr. Timmons say,
6 that's his job to go through and analyze this data. AT&T and
7 others have been doing this for at least two years, going
8 through and analyzing this data and letting us know. That way
9 you're assured that any issues that arise with this data, quite
10 frankly, we get told about them. What we found out, though,
11 quite frankly, is that in most cases what we're told are not
12 really issues with the data but misunderstandings about it, and
13 I'll get to some of those in a few minutes. We have the data
14 verified through internal quality controls and also, of course,
15 you know the KPMG test is working on this.

16 The next one, KPMG is auditing every measure. You
17 talked about the 10 exceptions. KPMG is auditing each of these
18 2,300 submetrics. When they open exceptions, it can be for one
19 or multiple submetrics. We have provisions for recurring
20 annual audits. The data is stable and reliable. We haven't
21 had to repost anything in four months. In 2001 our initial
22 postings were 98 percent accurate for the data.

23 And with regard to the written comments, AT&T was the
24 only ALEC to raise any data integrity issues. That's why when
25 I went through to identify what to respond to I was only

1 prepared to respond to theirs because they were the only ones
2 that raised them. And none of the issues that they raised have
3 a significant impact on the performance results. The issues
4 that they raised, which are all of the ones that was on the
5 handout that Mr. Timmons gave you, fall into these following
6 categories. Either AT&T was incorrect; they were old problems;
7 some of them fixed as early as July of last year; issues that
8 were limited to a single month. We had something that happened
9 in one month; it got fixed in the same month and recurred.
10 There were issues with raw data. There are issues wherein
11 there is something in raw data or not in raw data. It doesn't
12 have any impact on the resulting reporting. And there are some
13 wherein, yes, there are some problems in some of the data, but
14 all of the impacts are less than one-half of 1 percent in terms
15 of what it does to the accuracy of the performance that's
16 reported.

17 The remaining charts after this actually go to each
18 of the issues that Mr. Timmons brought up on the handout that
19 he gave and give us -- and sort of tell you what it is that
20 results from our analysis of those. Let's see. Oh, for
21 example, the first one talks about projects. Projects are
22 properly excluded. They're not used in some of the
23 measurements. The commissions recognize that, and they've made
24 those exclusions even as recently as the order that they just
25 issued. But AT&T's concern is that, well, I don't see an order

1 that's not used to calculate the measurement in the raw data
2 for that measurement. Well, it doesn't help you to see that.
3 It's not used in the calculation. The Commission has said it
4 shouldn't be used in the calculation, so there's no need for it
5 to be in the raw data. If you're concerned about whether or
6 not that -- you know, an order that you sent in as a project
7 has been captured or not or in the raw -- is in -- the
8 measurement result is very simple. The only orders -- if
9 orders are not in raw data, they are not used to calculate the
10 measurement. So if you go in, you look in raw data, that order
11 is not in the raw data, it wasn't used to calculate the
12 measurement. It's very simple.

13 I'm going to skip several of these and go to one I
14 think -- Number 19 is where I want to go to because it requires
15 a little more explanation. The rest are pretty self-evident.
16 You can just read through them and see what they say. This one
17 is a little more complicated. And this was an issue wherein
18 AT&T said they could not replicate FOC and reject intervals for
19 PMAP data for LSRs that are submitted in one month but FOC'd or
20 rejected in a different month. It comes in towards the end of
21 the month and the FOC or the reject doesn't get returned until
22 the next month.

23 In fact, AT&T does have the data to enable them do
24 this. What they say is that, well, if it comes in and is
25 responded to in the same month, they get two lines of data and

1 raw data. That's right. Those are the two lines that I've
2 shown. One says received; one says FOC. The first column is
3 for LSRs that are received either fully mech or partial mech,
4 and it tells you when the LSR came in. The second column is
5 for LSRs that are sent in nonmechanized. It tells you when
6 they came in. The important point is that for those two
7 columns, both lines are the same. It's the same dates, the
8 same time on both lines.

9 The next column tells you on the top line it's going
10 to be either the same as the first or second column, depending
11 on whether we got the orders as a fully mech or as a
12 nonmechanized order. The second line of that third column is
13 when the FOC was sent back out or reject as the case may be.
14 If you go down to the next sort of group, you will see where
15 AT&T was having a problem. If they looked at it, if the LSR
16 came in in October and the FOC went out in November, in October
17 they saw one line, that first line. But that one line told
18 them when the LSR came in, and that's all there was because it
19 wasn't responded to in October, it was responded to in
20 November.

21 The next -- when they looked at the raw data for
22 November, they saw one line. It showed them in the
23 first column or the second column, depending on whether they're
24 a fully mech or a nonmech, when the LSR came in, and it showed
25 them in a third column when the FOC went out. That's the

1 information you need to calculate the interval. It's there.
2 It's just that when it splits the month like that, you don't
3 get both records in the same month, but you can calculate the
4 interval based on the information that you have. So the reason
5 I wanted to go through that one is it was a little bit more
6 complicated.

7 ACNI, or average completion notice interval, is one
8 that gets a lot of attention. One of the things there is that
9 on Chart 20 it says, completion notices for orders completed in
10 one month, but the notice provided in a different month are
11 excluded. There was a difference in interpretation of what the
12 SQM required. We agreed to do what AT&T says. The SQM has
13 always said it's never been clear about what you do about
14 things that straddle a month whether they're in or out of the
15 measurements. It always says that you're reporting data for
16 that month. We've interpreted that means that both ends of the
17 activity had to occur in a month. If it's an FOC, you had to
18 get it in a month and FOC it in a month; reject the same thing;
19 completion same thing. One interpretation is as valid as
20 another. If AT&T prefers this one, we'll use this one, and
21 we're going to go ahead and implement it.

22 This issue on the next one about orders submitted
23 directly in the SOCs not receiving completion notices, that's
24 really not correct. These are administrative orders. We use
25 this terminology in a response back to AT&T. What -- these are

1 administrative orders that are issued by BellSouth usually as a
2 correction to an order that's already been completed, and
3 they're properly excluded from the data for the SQM. The SQM
4 says, you exclude these administrative orders, and that's what
5 we did.

6 On the next one, it talks about the null intervals.
7 This is one that we raised back, I think, as early as June. It
8 has a minor impact on the data. It affects less than one --
9 well, it's like one hundredth of 1 percent of the records are
10 affected by this.

11 Completion notices for stand-alone LNP orders are
12 excluded. You just look at the MSS, there's volume there. I
13 don't know what the concern is, that there's specific orders we
14 can go and look at whether they should be in -- oh, there were
15 some that AT&T sent us that were trigger orders. And trigger
16 orders do not carry an OCN. Without an OCN there is no way to
17 classify them as an AT&T order. A trigger order is something
18 on LNP that you put on that let's the LNP operate
19 automatically. If there's no OCN on it, there's no way to
20 identify it as an AT&T order. It's not that it's excluded,
21 it's just that you can't identify it appropriately for the
22 carrier.

23 The average jeopardy notice interval, Number 26, that
24 is a measurement that we acknowledge is incorrect. It's been
25 incorrect since about June. We are working to fix it, so

1 there's really nothing new there. We ask people not to rely on
2 it because we know it's incorrect.

3 We don't exclude directory listing orders except
4 where, in fact, the SQM does not have a place to put them. We
5 have gone back in I think starting in November and started
6 utilizing the other nondesigned category as a placeholder, but
7 when you don't have a disaggregation to put them, we've got no
8 place to put them.

9 The last slide is, I guess, sort of like the
10 first group which deals with change management measures, and it
11 gives you the results. The last couple I wanted to address is
12 one that Ms. Boone raised concerning an issue regarding the
13 timeliness on some of those orders. I remember that issue.
14 What we went back and ultimately found out was that there was a
15 misunderstanding about how to calculate the appropriate
16 intervals on those. We went back and we updated the
17 information on the Web site. That's the ordering guide, if I
18 remember correctly, that said how to do that to resolve that
19 particular problem.

20 And then on the one about the trouble tickets, I also
21 recall that one. What we found out is that when they sent us
22 those supposed trouble tickets, they were never able to
23 identify for us the telephone numbers associated with them so
24 we could research the issue, and that's where that issue ended
25 up.

1 MS. CONQUEST: I have those here if you'd like to
2 have them.

3 MR. VARNER: Yes. We've asked for them before.

4 CHAIRMAN JABER: Ms. Conquest, why don't you make
5 sure Mr. Varner has those after the workshop?

6 Mr. Varner.

7 MR. VARNER: Okay. I think that's it.

8 CHAIRMAN JABER: Okay. Any other comments from
9 BellSouth on data integrity before we move on?

10 Okay. That brings us to maintenance and repair.
11 ALEC panel.

12 MS. NORRIS: Madam Chair, you're going to discuss at
13 the end the opportunity to file written comments; is that true?

14 CHAIRMAN JABER: Yes.

15 MS. NORRIS: Thank you.

16 CHAIRMAN JABER: Who wants to start the ALEC panel?
17 KMC.

18 MR. MURDOCH: Okay. Thank you. Brian Murdoch with
19 KMC Telecom kicking off the maintenance and repair agenda panel
20 here. KMC experiences in the field a number of service
21 delivery and maintenance issues that are reported back through
22 our operations headquarters in Atlanta. And just to rebut, I
23 guess, I mention of the fact that KMC or all of the other CLECs
24 rely on the BellSouth self-reported data in one instance and,
25 however, reflect some concerns over the integrity of the data

1 in other cases.

2 KMC feels that the reports from our field with
3 regards to service outages reflect the need for KMC and
4 BellSouth to work or to partner more together, and the actual
5 maintenance data itself reflects the ongoing challenges and
6 opportunities therein.

7 The circuit failure on DS-1s in the KMC territory,
8 number of -- one out of every four circuits that are installed
9 on average for a month fail. And when you look at the
10 BellSouth retail offering on the same service type, it's
11 basically less than 1 percent. And that kind of disparity
12 obviously creates a negative impression on the consumer that
13 you've just won with your promises of increased customer
14 service and lower prices, not that there's that much margin.

15 But the new circuit failure rate for DS-1 circuits
16 for KMC also are out of parity with regards to the BellSouth
17 retail offering, and the similar scenario we experience -- more
18 than 8 percent of our DS-1s fail within the first 30 days after
19 they're installed. So we feel that they've been installed
20 incorrectly. And then on the back end, when BellSouth comes
21 out to repair the circuit, they're repairing it incorrectly.
22 So we cannot get a quality product from the incumbent in most
23 instances, and our resolution is to change our business plan
24 and to order up DS-0 level circuits as backup, because our
25 customers demand that they have a facility in place that is

1 reliable. And from the performance measurements themselves,
2 you can see that DS-0 level services are the best of the worst,
3 I guess, with regards to maintenance performance measurements.

4 The poor quality installation and the poor quality
5 repair basically amounts to a point where Florida, it looks
6 like, will be issuing remedy payments or remedy credits to
7 CLECs operating in the State. I would advise that the payments
8 themselves are merely a cost of doing business for the
9 incumbent as we've seen in Georgia and Louisiana and in other
10 ILEC territories actually as well. It doesn't seem to effect
11 change, if you will, as we've been feeling the effects of
12 BellSouth's inability to provide a quality product for four,
13 five years now.

14 CHAIRMAN JABER: Thank you, Mr. Murdoch.

15 Mr. Monroe.

16 MR. MONROE: Thank you, Madam Chairperson. No dial
17 tone situations are by far the biggest maintenance and repair
18 issue that we as a Florida CLEC experience. The majority of
19 those no dial tone situations, we actually have the ability to
20 go in through our legacy systems that we have and do a
21 preliminary testing to determine whether or not the actual
22 issue was on our side of the fence, so to speak, or whether
23 it's on the Bell side of the fence where the actual repair
24 issue lies.

25 In doing that testing, for the majority of the no

1 dial tone situations that we come across, we identify that it
2 is a Bell repair issue. Then what happens, we typically will
3 open the ticket with Bell. At that time what happens, Bell
4 will actually do their research and close the ticket out to no
5 trouble found in the majority of these that we actually send
6 over to them. In addition to that, closing a ticket out to no
7 trouble found, it actually brings that circuit back up.

8 Now, back on the 25th of January at the OSS meeting
9 that we had with BellSouth up in Atlanta, that was one of the
10 issues that we brought to the table and asked, is it just ALECs
11 or CLECs that are experiencing this type of issue, or does this
12 type of thing happen to BellSouth customers as well? One of
13 the responses that was given to us is, yes, it does happen to
14 BellSouth customers as well. And what we're actually speaking
15 of is jumpers being pulled in the field for specific customers
16 which causes the customer to go down. The technician will go
17 back out there and realize that they have actually pulled the
18 customer down once the ticket has been opened up, and then
19 they'll go ahead and put those jumpers back in place so that
20 the customer comes back up. But then again, they're being
21 closed out to no trouble found.

22 We asked why that continues to happen, and not just,
23 again, not just CLEC customers, but again BellSouth says it
24 happens with their customers as well. A response in asking why
25 that tends to happen, BellSouth stated that it was basically

1 due to records in the field, and looking at some of the central
2 offices, it is very difficult to determine which jumpers belong
3 to which customer.

4 CHAIRMAN JABER: Thank you, Mr. Monroe.

5 Mr. Kopytchak.

6 MR. KOPYTCHAK: Thank you. I'm going to try to put
7 some more data up on your screen for you. We're having some of
8 the same problems as Florida Digital Network with respect to
9 what we believe is BellSouth closing out some tickets. This is
10 our December data that Network Telephone's operations reports.
11 And one of the vital areas you can see here is that out of the
12 total outages of 245, 141 of them were BellSouth resolutions;
13 28 of them were Network Telephone. But the average trouble
14 response time is where the area gets critical. BellSouth, I
15 believe, for their DS-0s are reporting about six-hour
16 resolution times, and we're having trouble replicating that
17 data for two reasons and I think both of them combined.

18 One of them is, is that BellSouth will close out the
19 trouble ticket and force us to reopen the trouble ticket, and
20 we believe that they're doing that within their six-hour
21 window, but there's no resolution, and we're having to reopen
22 it. And then another reason, which is one of the reasons it is
23 bringing this -- our data collection average up, is that we're
24 not receiving closeout calls from CWINS, and apparently we're
25 supposed to receive that on every ticket. So we don't

1 necessarily know when the resolution has been corrected. And
2 if I could switch to one more screen here.

3 CHAIRMAN JABER: You said you're not receiving
4 closeout calls from --

5 MR. KOPYTCHAK: Calls, yes, ma'am.

6 CHAIRMAN JABER: -- CLECs?

7 MR. KOPYTCHAK: From CWINS, from the CWINS center.

8 CHAIRMAN JABER: Thank you.

9 MR. KOPYTCHAK: And then on the last screen here,
10 just to kind of point out, these are the hours that we're
11 keeping and the resolution tickets on the very bottom
12 maintaining about 11 hours for Network Telephone and 31 hours
13 for BellSouth. And again, I think that's a combination of both
14 areas, but that's not what BellSouth is reporting within their
15 measurement systems of six-hour resolution times.

16 And that's all we have, and we'll turn it over to
17 AT&T. Thank you.

18 MS. BERGER: Thank you. AT&T experiences the same
19 thing that has been outlined by my three colleagues, so the
20 last issue that I would focus on deals with UNE-P maintenance
21 issues. One thing that we're finding is that BellSouth's
22 maintenance technicians are closing out repair tickets without
23 calling AT&T and establishing that connection to ensure that
24 the customer truly is back in service, and then what this
25 causes is a delay in getting those problems resolved.

1 Secondly, although on our maintenance repair report
2 we specify a customer's business hours and that there is -- you
3 know, whether the demarcation point is inside the customer's
4 premise, BellSouth technicians try to go to the customer's
5 premise outside of business hours to clear that maintenance
6 ticket and without making any arrangements to have access to
7 the appropriate equipment, so then they'll close out the
8 trouble ticket saying that there was no access provided. So
9 those are two additional issues that AT&T is experiencing in
10 addition to the things that my colleagues have outlined.

11 CHAIRMAN JABER: Any other comments from the ALEC
12 panel?

13 Okay. BellSouth panel.

14 MR. AINSWORTH: This is the last one?

15 CHAIRMAN JABER: I think so.

16 MR. AINSWORTH: Okay. I'm going to first go through
17 this, and then I'll talk about the slide presentation if you'd
18 like. First of all, KMC's comments on the trouble report rates
19 and failures. Let me just clarify because we have had some
20 discussions around this area. Particularly, they were talking
21 in the DS-1 arena, and I want to try to identify for you CWINS.
22 The CWINS center actually takes the trouble reports for all UNE
23 maintenance and for resale. CWINS, however, is not the contact
24 bureau that calls back the CLEC on every trouble ticket.

25 If you can envision with me for just a second, you

1 have design services which are special service like that have
2 engineering, and those have a MCO, maintenance control office,
3 and that, in effect, is CWINS. And for those troubles, they
4 are making the contact back to the CLEC to close out those
5 tickets. As a matter of fact, that's part of their process.
6 They document that. They get the name in the log of that
7 contact.

8 For the nondesigned services -- and nondesigned would
9 be like POTS type services, UNE-P type services, those are
10 closed out by the network field technicians or the network
11 technicians that receive that trouble report. They actually
12 are received by the CWINS as a maintenance issues, but the
13 closeout and the final status of that is in the network
14 organization, the same as it is in retail today. So I just
15 wanted to try to clarify that up front.

16 CHAIRMAN JABER: What does that mean? For the
17 nondesigned services, those are closed out by the field
18 technicians, does that mean that no one calls the CLECs --

19 MR. AINSWORTH: No. They should get a call, yes, but
20 it's not the CWINS that would be making that closeout on those
21 particular issues. And I guess my point there is, if that is
22 an issue, I feel very confident that CWINS, because we have
23 that documentation in the log to back that up, is making those
24 contacts. If it's designed services, we certainly want to know
25 that. From a network perspective, we want to know that also.

1 We'll take that to the areas where if that's a problem, we can
2 get that addressed and certainly have that validated.

3 CHAIRMAN JABER: Okay. So as it relates to Network
4 Telephone, would they be receiving designed services?

5 MR. AINSWORTH: I believe -- Kyle can probably
6 answer. They have both, I believe, Kyle? I believe they have
7 both designed and nondesigned.

8 MR. KOPYTCHAK: Yes, Madam Chairman, we have both
9 designed and nondesigned.

10 CHAIRMAN JABER: Okay. So you receive some calls
11 from CWINS. And as it relates to the nondesigned services, who
12 would be making that call?

13 MR. AINSWORTH: Whoever the technician that was
14 dispatched or referred that trouble condition to resolve it and
15 had the final closeout status for that would be making that
16 closeout. If it were a dispatch, it would be the I&M
17 technician that actually was dispatched.

18 With that, I'll go back to the T-1 issue, and I'll
19 address the repeat type scenarios. We had some conversations
20 with this before. What I'm mainly interested in and what we
21 have been trying to really get at is, one, when you provision
22 T-1s, you go through a turnup process, and that process also
23 allows the CLEC to have the ability to do joint testing with
24 you. And from that process, we feel like that that really
25 solidifies an end-to-end process. So if the CLEC validates

1 that, that should give some assurance not only on the BellSouth
2 end but also on the CLEC end that that circuit is up and
3 working properly. So that's handled on the turnup process. We
4 should give them an opportunity to make those tests with us to
5 certify that circuit. I mention that because when they're
6 talking about failures after install, they being part of that
7 process have that opportunity to look at that and validate it.
8 It validates really their part of the network and the BellSouth
9 part of the network. It's a very good process.

10 The second thing is, in looking at situations where
11 you get into repeat type situations, you will see on the slide
12 in just a moment that we've opened up in -- the CWINS center
13 has always had what we call a chronic group. We have enhanced
14 that chronic group. As a matter of fact, we've invited several
15 CLECs, including KMC, to visit that center and discuss the
16 technical aspects of chronic. And one of the important
17 situations there is that is an opportunity for these type
18 scenarios to be addressed. They go into more extensive detail
19 testing. They have some very strict processes in there to go
20 through looking for arbitrary type situations or situations
21 that fall in the no trouble found category. So there is a
22 vehicle there, and we are -- have attempted to bring that to
23 the CLECs to have them the opportunity to work with us and for
24 us to work with them to resolve those kind of issues and
25 hopefully reduce any kind of issues we're running into where we

1 get into repeat type troubles or troubles after 30 days. So I
2 think we've got things in place that should address that if
3 they're utilized.

4 The second point, Florida Digital mentioned no dial
5 tones where they're closed to no trouble found. That's really
6 kind of tough to answer here. I guess the situation that I did
7 notice in what they had filed where they had given some of that
8 information to the CWINS center -- and they've been trying to
9 address some of those issues or looking at some of those
10 issues. But I'm very interested in that from the standpoint
11 that if they are actually testing that trouble, and that's what
12 we're having dialogue now with CWINS on the opportunities that
13 they've given them, they actually test a trouble.

14 When it comes across and we actually enter the
15 dispatch and go out to test that trouble, if there's not a
16 trouble condition there to resolve, then the situation would be
17 that you would have a no trouble found condition. If there is
18 a trouble condition there to resolve, then we certainly would
19 resolve that. So there are situations when that could occur.
20 That's no different than what happens in the retail world
21 today.

22 And again, if we run into those kind of situations
23 where it's becoming a repetitive situation or a repetitive type
24 situation for a customer out there, I again emphasize the fact
25 that we need to get that to chronic and have that looked at so

1 that we can eliminate any additional reports coming in, and we
2 can do the analysis on that.

3 CHAIRMAN JABER: Okay. FDN has represented that it
4 is a continuing problem.

5 MR. AINSWORTH: Pardon?

6 CHAIRMAN JABER: FDN has represented that it's a
7 continuing problem, so you'll have a team of people look at
8 that expeditiously?

9 MR. AINSWORTH: Yes, we will.

10 CHAIRMAN JABER: And be able to report back to us
11 your findings within the time frame that I'm going to establish
12 for post-workshop comments?

13 MR. AINSWORTH: Depending on that time frame, yes, we
14 will.

15 CHAIRMAN JABER: It will be a reasonable time frame.

16 MR. AINSWORTH: Okay. Network Telephone addressed
17 premature closures, and again, as I have indicated, if these
18 are design loops, I can't even envision that that would be an
19 issue, and I would certainly like to see those type situations
20 in the design world because we can go back and track that down
21 to the technician that made that closure. In the network
22 entity where they're closing out these trouble tickets --
23 again, I think I addressed that earlier -- we need to know
24 where that's happening so we can address that in whatever area
25 it's happening. And I will say in the nondesign world, one

1 attempt is made to make that customer contact call. If they
2 don't reach that customer, they will close that trouble report.
3 That's consistent with retail, and that is the process in the
4 design world. So in the MCO special service world, you have a
5 little bit different situation from an MCO standpoint as you do
6 in the nondesign world, but that is consistent, but we still
7 need that information.

8 COMMISSIONER PALECKI: You said if one effort is
9 made, if it's a busy signal, that's the end of it then.

10 MR. AINSWORTH: Normally in the I&M world for
11 nondesign, they will make that attempt, and then they will
12 close the ticket. And normally that ticket will feed back that
13 information -- that closed information if it's in the
14 nondesigned world through the TAFI system. If they're using
15 TAFI, they will get that closeout information, and they'll have
16 that.

17 COMMISSIONER PALECKI: Is there any way in the
18 nondesign world that the message could be sent other than
19 through a regular phone call such as an e-mail or something
20 that would be there even if there's not someone answering the
21 phone in the office or if the signals are busy, something
22 that -- it sounds to me as if the CLECs are telling us that
23 this can really cause some major problems if they don't get
24 these calls when these tickets are closed out.

25 MR. AINSWORTH: Yes, that's true. And there's two

1 opportunities out there. As far as e-mail, no, that's not a
2 capability they have, but you have TAFI sitting out there
3 that's available to CLECs today. And a lot of the CLECs here
4 today use TAFI. They will get those closures back through
5 TAFI. You have other CLECs here today that have an electronic
6 gateway, ECTA process, that they get electronic notification
7 through. So if the CLEC chooses to utilize those avenues, then
8 they will get those notifications electronically.

9 COMMISSIONER PALECKI: Thank you.

10 MR. AINSWORTH: Looking at AT&T, again, I think I
11 have addressed the premature closeouts and after-hours business
12 contacts. If they're so noted, that should be represented also
13 before that contact is made. If those hours are put in on
14 there, we should be applying the business hours to those
15 contacts and to those dispatches. And if anything is going to
16 occur after that, we should be notifying those CLECs that
17 that's going to take place to be able to gain access to that
18 end user, whether it be a business or a residential customer.

19 CHAIRMAN JABER: When you close out tickets, whether
20 it be that the field technician calls or the CWINS program
21 makes the call, do you document the method of contact and
22 whether there was a busy signal or a no answer?

23 MR. AINSWORTH: Well, let me talk about the design
24 first. In the design, we won't close it until we make a
25 contact, so that's the maintenance control office for the

1 design type services. So we have to make that contact to
2 close, or we have to have a vehicle to leave a message, a
3 proper message based on that CLEC to notify them if that
4 trouble is being closed. In the nondesign world, they will put
5 information in on that ticket in their system to document what
6 transpired on that closeout, yes.

7 CHAIRMAN JABER: Mr. Kopytchak, have you been keeping
8 track or documenting the instances where you believe there's
9 been premature closure of the tickets?

10 MR. KOPYTCHAK: Ma'am, I would have to go back to
11 operations and go into maintenance and repair and request more
12 information. I don't have that with me right now.

13 CHAIRMAN JABER: Just -- it seems to me that if you
14 do or if it's information that's easy to compile, you may want
15 to share that with BellSouth.

16 MR. KOPYTCHAK: Yes, ma'am.

17 COMMISSIONER PALECKI: And, Mr. Kopytchak, if you
18 have a proposed solution, I think you've heard what
19 Mr. Ainsworth has said, if you have any sort of proposal, we
20 would like to hear that in your response that you'll be filing.

21 MR. KOPYTCHAK: Okay.

22 COMMISSIONER PALECKI: Because this does not seem
23 like it should be that difficult to solve this problem.

24 MR. KOPYTCHAK: Our operations has reported to me
25 that they're calls from CWINS about 25 percent of the time.

1 That's all I can tell you right now.

2 MR. AINSWORTH: And again, I'll be glad to see that.
3 Like I said, on the design services, not a problem. We can
4 pull that and give the contact to who it was closed to. So
5 I'll be glad to work with Kyle on that.

6 COMMISSIONER PALECKI: Is there any kind of follow up
7 or quality control that BellSouth could do behind your service
8 people -- and I'm talking nondesign -- to bring home to them
9 the importance of making these contacts? And, you know,
10 sometimes for quality control, it means that you have to come
11 down on your employees out in the field. I mean, could you
12 make this a priority?

13 MR. AINSWORTH: I can address it from a CWINS
14 process. I can tell you that, yes, we have quality controls
15 in. I can tell you that we evaluate those maintenance tickets
16 in every aspect or in every fashion, and we do feed that back,
17 and we do take action where that's required. I don't do the
18 analysis on the network I&M technicians. They do have
19 processes in place, but I don't personally have control of that
20 particularly function.

21 I'll move on to the -- I think I've covered the
22 first two bullet items there. I'll talk about loop testing
23 requirement 73-600. This is a document that in some of the
24 feedback that we've got to the Commission about testing and
25 about whether or not a circuit would meet the parameters in the

1 CLECs' minds, and I just wanted to point out that that is our
2 document. For every service that we provide, there are
3 requirements out there that we maintain for that service, and
4 those are our test guidelines and that's provided and the CLEC
5 has that available to them. And that's requirements we meet
6 when we go out to do the testing, whether it be turn up for
7 provisioning testing or also for maintenance testing to assure
8 that these services meet the requirements that's laid out for
9 that particular product.

10 Provisioning orders, I commented on that earlier
11 today, and I'll just make another comment on that. We enhanced
12 the CWINS operation to really eliminate confusion. And we took
13 ownership of the situation where if the CLEC encountered what
14 they consider an outage based on the fact their service order
15 activity in effect, they can call the CWINS center, and the
16 CWINS center will interface with the LCSC to work that process.
17 And that is something we have enhanced in CWINS, and we have
18 initiated to assist the CLECs if any issues like that arise.
19 That seems to be a good process. It eliminates a lot of times
20 the CLECs having to deal with the retail operations, or in the
21 event they have a lack of success in that process, to contact
22 CWINS to give them a control point that will manage that for
23 them. That really concludes everything I have on maintenance.

24 CHAIRMAN JABER: Okay, Mr. Ainsworth. Any other
25 commenters from the BellSouth panel?

1 MR. VARNER: Just a couple. One is that on the
2 specific data issues, we'll just include that in the filing, if
3 that's fine with the Commission.

4 CHAIRMAN JABER: (Nodding head affirmatively.)

5 MR. VARNER: Another is, there was a chart that
6 Network Telephone used, we'll need a copy of it, and I'm going
7 to need them to decipher it for me, talking about maintenance
8 average duration, I believe. I didn't understand it, and if
9 we're going to know what it means, I'm going to have to get a
10 copy of it and get them to explain it to me. Likewise, a copy
11 of the flow-through chart. None of these were in the filing,
12 so if we're going to deal with them, we've got to have a copy
13 of them to deal with. You may just address that.

14 CHAIRMAN JABER: Mr. Kopytchak, why don't you just
15 provide copies of those two charts?

16 Were there more than two, Mr. Varner?

17 MR. VARNER: I think there were only two, the
18 flow-through one and the one on maintenance average duration.

19 CHAIRMAN JABER: Are they included --

20 MS. FOSHEE: Yes, ma'am. While Mr. Varner was up
21 here talking, I got a copy --

22 MR. VARNER: Oh, okay.

23 CHAIRMAN JABER: Okay. But Mr. Varner --

24 MR. VARNER: So we're all right.

25 CHAIRMAN JABER: -- if you need an explanation of

1 those charts, I would leave it up to the two of you to just sit
2 down and talk about it.

3 MR. VARNER: Yes.

4 CHAIRMAN JABER: Mr. Kopytchak, please make yourself
5 available to walk Mr. Varner through the charts and make sure
6 he understands the data that you've put in and where the chart
7 came from the source.

8 MR. KOPYTCHAK: More than happy to.

9 MR. VARNER: That's it.

10 CHAIRMAN JABER: Okay. Is there a billing panel or
11 isn't there?

12 All right. Staff, I've sort of left you out of this
13 entire process, so if you have questions, this would be a good
14 time. And then I'm going to switch to the Commissioners here.

15 MS. KEATING: I don't think we have any questions
16 this evening, Madam Chairman.

17 CHAIRMAN JABER: Okay. Commissioners, if you have
18 any questions before we start talking about the post-workshop
19 comments.

20 Okay. What I thought we would do, Commissioners, is
21 explore the idea of allowing all of the parties to comment in,
22 let's say, four weeks' time, in a month's time, on the
23 questions that the Commissioners have asked, the questions that
24 were raised by all the parties. And I would encourage us to go
25 through our notes and sort of give some direction to the

1 parties on what we thought would be easy in terms of finding a
2 solution.

3 Commissioner Palecki, I think that all of the
4 Commissioners today sort of picked places where there seem to
5 be a common sense approach to some of the issues raised. And
6 we could encourage the parties to read the transcript from this
7 workshop. But I know I took notes on some of those issues, and
8 just quickly, I would encourage the parties to address the
9 following issues: On the -- Mr. Bradbury's concern, BellSouth,
10 on BellSouth coming back -- actually, it was Kopytchak. On the
11 concern that BellSouth came back and said that the EDI system
12 was unsuccessful, that the test was unsuccessful -- this is
13 early back this morning -- I'd like for you to address that.

14 The allegations that BellSouth's computer systems are
15 not updated, that the customer records are not updated, that
16 seemed to be a theme the whole day, and I would suggest that
17 you approach all of these as not responding to the allegations
18 but how do we solve the issue.

19 On the -- I think it was Ms. Boone said that the
20 nondesigned copper loop is available now, better pricing, but
21 if ALECs take advantage of that loop, they cannot order it
22 electronically. I'd like BellSouth to consider making that --
23 having that be provided electronically, that the ALECs can
24 order that copper loop nondesigned electronically.

25 Let's see. WorldCom, Ms. Lichtenberg, wants to be

1 able to randomly select 100 orders. BellSouth has refused to
2 do that. I know, Mr. Pate, I heard your explanation. Frankly,
3 it didn't sound sufficient. So again, in approaching the
4 response to that, I'd like for you to address how ALECs can
5 select 100 orders randomly, and collectively perhaps you could
6 share the information that comes from that.

7 Staff, there was a reference to a customer complaint,
8 Complaint Number 4228IT -- no, 42281T, I think. I need you all
9 to tell us the status of the complaint and when -- you know,
10 will it come to agenda.

11 There was some discussion -- BellSouth, you said that
12 currently BellSouth is trialing an enhanced process to assist
13 ALECs to reduce delays with the ADSL process. You've only been
14 doing it for two weeks. You're working with one ALEC on the
15 process. I want to know when that trial will be complete and
16 whether ALECs can volunteer to participate in that trial,
17 recognizing the risks, of course, of failure. But I don't want
18 to have in your post-workshop filings that you're working on it
19 and that you're pursuing it. I want to know when it will be
20 complete.

21 MR. KOPYTCHAK: Madam Chairperson, I'm sorry, was
22 that the ADSL USOC issue?

23 CHAIRMAN JABER: That was -- I think so. Yes,
24 removal of ADSL USOC.

25 And I believe, Mr. Ainsworth, I've got your name next

1 to that.

2 MR. AINSWORTH: That's exactly right. I have that.

3 MR. KOPYTCHAK: Thank you.

4 CHAIRMAN JABER: Okay. On the escalation process,
5 BellSouth, I want you to think about and respond to how your
6 first employee can be empowered to address a situation, that
7 the escalation process should be a nip-in-the-bud process, and
8 sort of establishing the drop dead time period for ending the
9 complaint process. You know, even if it's getting back to the
10 ALECs and saying, we just can't address your concern, it
11 shouldn't last four people four hours. So address your
12 escalation process.

13 On the prioritization process, I want the parties to
14 address the Verizon model and how the Verizon model can be used
15 here for BellSouth. And this is an area where definitely there
16 were some agreement, so please feel free on all of these areas,
17 especially this one, to reach agreement and not feel like you
18 have to comment at all in your post-workshop filings.

19 This is not an open invitation for to you keep these
20 problems going just so you respond to the post-workshop
21 comments. This is to facilitate the dialogue that you all
22 should be having in the next month.

23 And then, Mr. Kopytchak, as I indicated to you a
24 little bit earlier, if you have documentation on the premature
25 closing of tickets, share that with BellSouth.

1 Commissioners, those are the items I had on my list.

2 COMMISSIONER PALECKI: Madam Chairman, I think you
3 have covered most of my concerns as well. I had one other
4 concern, and that is that we've heard dozens and dozens of
5 issues today, and I expect that when we receive these filings,
6 we'll be hearing about very many of them. And I know in the
7 change control process there's a requirement that the CLECs
8 prioritize their concern, and I wonder if we could have some
9 prioritization in these posthearing -- or post-workshop filings
10 so that we know what's really important to the individual
11 companies.

12 CHAIRMAN JABER: From each company?

13 COMMISSIONER PALECKI: Yes.

14 CHAIRMAN JABER: Right. Yes. Commissioner, what
15 you're asking for are the criteria that you believe each
16 company should use and prioritizing the change.

17 COMMISSIONER PALECKI: I would almost prefer seeing
18 one through infinity as to however many issues they might
19 address. One being the most important that needs to be
20 addressed now that really has a, you know, high priority and
21 whatever the last number happens to be; something with an
22 actual number that can help us decide what really needs to be
23 addressed and needs to be addressed now.

24 CHAIRMAN JABER: Commissioners, any other questions,
25 direction?

1 COMMISSIONER DEASON: No, Madam Chairman. Other than
2 that, I'm sure the parties will review the transcript, and if
3 there are matters which we've overlooked, they certainly can
4 respond, and we'd expect them to do so.

5 CHAIRMAN JABER: Right. And I would just encourage
6 you all to please stay focused on the discussions that we've
7 had today so that we achieve the very best solution to all
8 these issues.

9 Staff, what's four weeks from today?

10 MS. KEATING: March 18th.

11 CHAIRMAN JABER: Post-workshop comments are due
12 March 18th. Thank you for your participation today.
13 Commissioners, thank you. I'm sorry it's a long day.

14 COMMISSIONER PALECKI: I just wanted to thank the
15 parties, both BellSouth and the CLEC community. I think
16 there's been a spirit of reasonableness in the room today and a
17 search for solutions, and I hope this continues.

18 MR. KLEIN: Before we conclude, if I could possibly
19 suggest one other issue.

20 CHAIRMAN JABER: Okay. Come up to the microphone.

21 MR. KLEIN: Andy Klein.

22 CHAIRMAN JABER: Mr. Klein.

23 MR. KLEIN: Yes. There was one other issue that got
24 a fair amount of discussion early today and that was why a
25 subsequent order should not take precedence over a prior

1 pending order. I think that might also include instances where
2 there's a DSL on the line and why a subsequent order should not
3 take precedence over where that is already allocated in a
4 multiline customer's grouping, and I'd like to propose that
5 that be included in the filings four weeks from now.

6 CHAIRMAN JABER: Let's do this, Mr. Klein. I'm sure
7 there are things that the Commissioners didn't necessarily
8 identify here, but if they were discussed today and the spirit
9 moves you to respond or to offer up some suggestions, feel
10 free.

11 MR. KLEIN: Okay. Thank you.

12 CHAIRMAN JABER: Thank you. This concludes the
13 workshop.

14 (Workshop concluded at 6:02 p.m.)

15 - - - - -

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
2 : CERTIFICATE OF REPORTER
3 COUNTY OF LEON)

4
5 I, TRICIA DeMARTE, Official Commission Reporter, do hereby
6 certify that the foregoing proceeding was heard at the time and
7 place herein stated.

8 IT IS FURTHER CERTIFIED that I stenographically
9 reported the said proceedings; that the same has been
10 transcribed under my direct supervision; and that this
11 transcript constitutes a true transcription of my notes of said
12 proceedings.

13 I FURTHER CERTIFY that I am not a relative, employee,
14 attorney or counsel of any of the parties, nor am I a relative
15 or employee of any of the parties' attorneys or counsel
16 connected with the action, nor am I financially interested in
17 the action.

18 DATED THIS 25th DAY OF FEBRUARY, 2002.

19
20
21
22
23
24
25


TRICIA DeMARTE
FPSC Official Commission Reporter
(850) 413-6736