


1 FLORIDA PUBLIC SERVICE COMMISSION

2 -----
 3 In the Matter of : DOCKET NO. 950001-EI
 4 Fuel and Purchased Power Cost :
 5 Recovery Clause with Generation :
 6 Performance Incentive Factor :
 7 -----

8 FIRST DAY - MID-MORNING SESSION

9 VOLUME 2

10 Pages 181 through 309



11 PROCEEDINGS: HEARING

12 BEFORE: COMMISSIONER J. TERRY DEASON
 13 COMMISSIONER JULIA L. JOHNSON
 14 COMMISSIONER DIANE K. KIESLING

15 DATE: Wednesday, March 8, 1995

16 TIME: Commenced at 10:00 a.m.

17 PLACE: Fletcher Building
 18 FPSC Hearing Room 106
 19 101 East Gaines Street
 Tallahassee, Florida

20 REPORTED BY: JOY KELLY, CSR, RPR
 21 Chief, Bureau of Reporting
 22 SYDNEY C. SILVA, CSR, RPR
 ROWENA NASH HACKNEY
 Official Commission Reporters

23 APPEARANCES:

24 (As heretofore noted.)
 25

WITNESSES - VOLUME 2

1	2	3	4	5	6	7	8	9	10	11	12	13	14	15	16	17	18	19	20	21	22	23	24	25	
	NAME							PAGE NO.																	
	.																								
	B. T. BIRKETT																								
	Direct Examination By Mr. Childs							184																	
	Prefiled Direct Testimony Inserted							187																	
	Cross Examination By Mr. Kaufmann							224																	
	Cross Examination By Mr. Howe							226																	
	Cross Examination By Mr. McWhirter							228																	
	Cross Examination By Ms. Brown							242																	
	Redirect Examination By Mr. Childs							254																	
	.																								
	RENE SILVA																								
	Direct Examination By Mr. Childs							263																	
	Prefiled Direct Testimony Inserted							265																	
	Cross Examination By Mr. Kaufmann							301																	

EXHIBITS - VOLUME 2

NUMBER		IDENTIFIED	ADMITTED
39	(Birkett) Response to Florida Steel's First Set of Interrogatories, No. 5	225	262
12			262
13			262
40	(Silva) Florida Steel's First Set of Interrogatories, No. 1, Schedule A3	302	
41	(Silva) 12-2-94 Wall Street Journal article	308	
42	(Silva) 3-6-95 Wall Street Journal article	308	

P R O C E E D I N G S

1
2 (Transcript follows in sequence from Volume
3 1.)

4 COMMISSIONER DEASON: Okay. Now we can move
5 to the testimony of those witnesses whose testimony has
6 not been inserted into the record. And I'm going to ask
7 all witnesses in all dockets which are present in the
8 room at this time who will be testifying today to please
9 stand and raise your right hand.

10 (Witnesses collectively sworn.)

11 COMMISSIONER DEASON: Thank you, please be
12 seated. I believe that the first scheduled witness is
13 witness Birkett.

14 MR. CHILDS: That's correct.

15 - - - - -

16 B. T. BIRKETT.

17 was called as a witness on behalf of Florida Power and
18 Light Company and, having been duly sworn, testified as
19 follows:

D I R E C T E X A M I N A T I O N

20
21 BY MR. CHILDS:

22 Q Would you state your name and address, please?

23 A My name is Barry T. Birkett. My address is
24 9250 West Flagler Street, Miami, Florida.

25 Q By whom are you employed and in what capacity?

10 Q And are the documents
11 prepared by you or under your direction, supervision or
12 control?

13 A Yes, they were.

14 Q Do you have any changes or corrections to make
15 either to the testimony or the documents you are
16 sponsoring?

17 A No, I do not.

18 Q Do you adopt this as your testimony in this
19 proceeding?

20 A Yes, I do.

21 MR. CHILDS: Commissioner, we ask that the
22 prepared testimony of Mr. Birkett be inserted into the
23 record as though read.

24 COMMISSIONER DEASON: Without objection it
25 will be so inserted.

FLORIDA PUBLIC SERVICE COMMISSION

186

1 MR. CHILDS: And I believe that -- I don't
2 recall the numbers, but the documents he is sponsoring
3 have be already been numbered according to your
4 numbering sequence.

5 COMMISSIONER DEASON: That's correct. They
6 have been identified.

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FLORIDA PUBLIC SERVICE COMMISSION

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**FLORIDA POWER & LIGHT COMPANY****TESTIMONY OF B.T. BIRKETT****DOCKET NO. 940001-EI****November 14, 1994**

1 Q. Please state your name, business address, employer and position.

2 A. My name is Barry T. Birkett, and my business address is 9250
3 West Flagler Street, Miami, Florida, 33174. I am employed by
4 Florida Power & Light Company (FPL) as Manager of Rates and
5 Tariff Administration.

6

7 Q. Have you previously testified in this docket?

8 A. Yes, I have.

9

10 Q. What is the purpose of your testimony in this proceeding?

11 A. The purpose of my testimony is to present the schedules necessary
12 to support the actual Fuel Cost Recovery Clause (FCR), Capacity
13 Cost Recovery Clause (CCR), and Oil Backout Cost Recovery
14 Clause (OB) Net True-Up amounts for the period April 1994 through
15 September 1994. The Net True-Up for FCR is an underrecovery,

1 including interest, of \$6,684,993. The Net True-Up for CCR is an
 2 overrecovery, including interest, of \$2,159,836. The Net True-Up for
 3 OB is an overrecovery, including interest, of \$11,602. I am
 4 requesting Commission approval to include these true-up amounts
 5 in the calculation of the FCR, CCR, and OB factors respectively, for
 6 the period April 1995 through September 1995.

7

8 Q. Have you prepared or caused to be prepared under your direction,
 9 supervision or control an exhibit in this proceeding?

10 A. Yes, I have. It consists of four appendices. Appendix I contains the
 11 FCR related schedules, Appendix II contains the CCR related
 12 schedules, and Appendix III contains the OB related schedules.
 13 Also attached to this filing is Appendix IV, which contains
 14 Commission Schedules A-1 through A-13 for April 1994 through
 15 September 1994 period.

16

17 Q. What is the source of the data which you will present by way of
 18 testimony or exhibits in this proceeding?

19 A. Unless otherwise indicated, the actual data is taken from the books
 20 and records of FPL. The books and records are kept in the regular
 21 course of our business in accordance with generally accepted
 22 accounting principles and practices, and provisions of the Uniform
 23 System of Accounts as prescribed by this Commission.

24

129

FUEL COST RECOVERY CLAUSE (FCR)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Q. Please explain the calculation of the Net True-up Amount.

A. Appendix I, page 3, entitled "Summary of Net True-Up Amount", shows the calculation of the Net True-Up for the period, an underrecovery of \$6,684,993, which I am requesting be included in the calculation of the Fuel Cost Recovery Factor for the period April 1995 through September 1995. The calculation of the true-up amount for the period follows the procedures established by this Commission as set forth on Commission Schedule A-2 "Calculation of True-Up and Interest Provision".

The actual End-of-Period overrecovery of \$27,833,669 shown on line 1 less the estimated/actual End-of-Period overrecovery of \$34,518,662 shown on line 2 that was included in the calculation of the Fuel Cost Recovery Factor for the period October 1994 through March 1995, results in the Net True-Up for the period shown on line 3, an underrecovery of \$6,684,993.

Q. Have you provided a schedule showing the variances between actuals and estimated/actuals?

A. Yes. Appendix I, page 4, entitled "Calculation of Final True-up Variances", shows the actual fuel costs and revenues compared to the estimated/actuals for the period April through September 1994.

- 1 Q. What was the variance in fuel costs?
- 2 A. As shown on Appendix I, page 4, line A7, actual fuel costs on a
3 Total Company basis were \$6.6 million higher than the
4 estimated/actual projection. This variance is detailed by major cost
5 components on Appendix I, page 5, entitled "Final True-up Variance
6 Analysis". The \$6.6 million total system variance was primarily
7 caused by a \$20.0 million increase in the Fuel Cost of System Net
8 Generation, a \$5.6 million increase in Energy Cost of Economy
9 Purchases, offset by a \$14.6 million decrease in the Fuel Cost of
10 Purchased Power, and a \$4.5 million decrease in Energy Payments
11 to Qualifying Facilities.
12
- 13 Q. What was the variance in retail (jurisdictional) Fuel Cost Recovery
14 revenues?
- 15 A. As shown on line D1, actual jurisdictional Fuel Cost Recovery
16 revenues, net of revenue taxes, were \$2.3 million lower than the
17 estimated/actual projection. This decrease was due to lower
18 jurisdictional kWh sales. Jurisdictional sales were 134,202,482 kWh
19 (.34%) lower than the estimated/actual projection.
20
- 21 Q. Have you provided a schedule explaining the reasons for these
22 variances?
- 23 A. Yes. Pages 5 and 6, of Appendix I, contain a more detailed
24 analysis of the cost variances with a corresponding explanation for

1 each significant variance.

2

3

CAPACITY COST RECOVERY CLAUSE (CCR)

4

5 **Q. Please explain the calculation of the Net True-up Amount.**

6 **A. Appendix II, page 3, entitled "Summary of Net True-Up Amount"**
7 **shows the calculation of the Net True-Up for the period, an**
8 **overrecovery of \$2,159,836, which I am requesting be included in**
9 **the calculation of the Capacity Cost Recovery Factor for the period**
10 **April 1995 through September 1995.**

11

12 **The actual End-of-Period overrecovery of \$18,941,197, shown on**
13 **line 1 less the estimated/actual End-of-Period overrecovery of**
14 **\$16,781,361, shown on line 2 that was included in the Capacity**
15 **Cost Recovery Factor for the period October 1994 through March**
16 **1995, results in the Net True-Up shown on line 3, an overrecovery**
17 **of \$2,159,836.**

18

19 **Q. Have you provided a schedule showing the calculation of the End-**
20 **of-Period true-up?**

21 **A. Yes. Appendix II, page 4, entitled "Calculation of Final True-up**
22 **Amount", shows the calculation of the CCR End-of-Period true-**
23 **up for the period April 1994 through September 1994. The End-**
24 **of-Period true-up shown on line 19 is an overrecovery of \$18,941,197.**

1 Q. Is this true-up calculation consistent with the true-up methodology
2 used for the other cost recovery clauses?

3 A. Yes it is. The calculation of the true-up amount follows the
4 procedures established by this Commission as set forth on
5 Commission Schedule A-2 "Calculation of True-Up and Interest
6 Provision" for the Fuel Cost Recovery Clause.

7

8 Q. Please explain the calculation of the interest provision.

9 A. Appendix II, page 5, entitled "Calculation of Interest Provision",
10 shows the calculation of the interest provision for the period April
11 1994 through September 1994 and follows the same methodology
12 used in calculating the interest provision for the other cost recovery
13 clauses, as previously approved by this Commission.

14

15 The interest provision is the result of multiplying the monthly
16 average true-up (line 4) by the monthly average interest rate (line
17 9). The average interest rate is developed using the 30 day
18 commercial paper rate as published in the Wall Street Journal on
19 the first business day of the current and subsequent months. The
20 interest calculated during the period amounts to \$2,728 as shown
21 on line 10.

22

23

24

1 Q. Have you provided a schedule showing the variances between
2 actuals and estimated/actuals?

3 A. Yes. Appendix II, page 6, entitled "Calculation of Final True-up
4 Variances", shows the actual capacity charges and applicable
5 revenues compared to the estimated/actuals for the period April
6 1994 through September 1994.

7

8 Q. What was the variance in net capacity charges?

9 A. As shown on line 6, actual net capacity charges on a Total
10 Company basis were \$4.2 million lower than the estimated/actual
11 projection. This variance was primarily due to lower than expected
12 capacity payments to the Southern Company for Unit Power Sales
13 (UPS) and to Jacksonville Electric Authority (JEA) for SJRPP. The
14 actual UPS capacity charges were \$2.5 million lower than the
15 estimated/actual projection primarily due to common investment for
16 all units being lower than projected. Capacity Charges paid to JEA
17 were \$2.2 million lower than the estimated/actual projection due to
18 a prior period billing adjustment.

19

20 Q. What was the variance in Capacity Cost Recovery revenues?

21 A. As shown on line 13, actual Capacity Cost Recovery revenues, net
22 of revenue taxes, were \$2.0 million lower than the estimated/actual
23 projection. This decrease was primarily due to lower jurisdictional
24 kWh sales than projected. Jurisdictional sales were 134,202,482

1 kWh (.34%) lower than estimated/actual projection.

2

3

OIL BACKOUT COST RECOVERY CLAUSE (OB)

4

5 **Q. Please explain the calculation of the Net True-up Amount.**

6 **A.** Appendix III, page 3, entitled "Summary of Net True-Up Amount",
7 shows the calculation of the Net True-Up for the period, an
8 overrecovery of \$11,602, which I am requesting be included in the
9 calculation of the Oil Backout Cost Recovery Factor for the period
10 April 1995 through September 1995.

11

12 The actual End-of-Period overrecovery of \$519,854, shown on line
13 1 less the estimated/actual End-of-Period overrecovery of \$508,252,
14 shown on line 2 that was included in the Oil Backout Cost Recovery
15 Factor for the period October 1994 through March 1995, result in
16 the Net True-Up shown on line 3, an overrecovery of \$11,602.

17

18 **Q. What is the purpose of the schedule showing kWh sales?**

19 **A.** The purpose of the schedule showing kWh sales on page 5, is to
20 calculate the monthly percentage of retail (jurisdictional) kWh sales
21 to total kWh sales. This monthly percentage (jurisdictional factor) is
22 used to allocate costs between retail and wholesale customers.
23 These kWh sales are consistent with the kWh sales shown in the
24 FCR and CCR schedules.

1 Q. Have you provided a schedule showing the calculation of the End-
2 of-Period true-up?

3 A. Yes. Appendix III, page 6, entitled "True-up Calculation" shows the
4 calculation of the OB End-of-Period true-up for the period April 1994
5 through September 1994. The End-of-Period true-up shown on line
6 12, is an overrecovery of \$519,854.

7

8 Q. Is this true-up calculation consistent with the true-up methodology
9 used for the other cost recovery clauses?

10 A. Yes it is. The calculation of the true-up amount follows the
11 procedures established by this Commission as set forth on
12 Commission Schedule A-2 "Calculation of True-Up and Interest
13 Provision" for the Fuel Cost Recovery Clause.

14

15 Q. Please explain the calculation of the interest provision.

16 A. Appendix III, page 7, shows the calculation of the interest provision
17 for the period April 1994 through September 1994 and is consistent
18 with the procedures used in calculating the interest for the FCR and
19 CCR clauses. The interest calculated for the period is \$6,049, as
20 shown on line 10.

21

22 Q. Have you provided a schedule showing the variances between
23 actuals and estimated/actuals?

24 A. Yes. Appendix III, page 8, entitled "Calculation of Final True-up

1 **Variances", shows the actual Oil Backout costs and revenues**
2 **compared to the estimated/actuals for the period April 1994 through**
3 **September 1994.**

4

5 **Q Have you provided a schedule explaining the reasons for these**
6 **variances?**

7 **A Yes. Pages 9 and 10, of Appendix III, provide a more detailed**
8 **analysis of the variances with corresponding explanations.**

9

10 **Q. Does this conclude your testimony?**

11 **A. Yes, it does.**

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
FLORIDA POWER & LIGHT COMPANY
TESTIMONY OF BARRY T. BIRKETT
DOCKET NO. 950001-EI
JANUARY 17, 1995**

1 **Q. Please state your name and address.**

2 A. My name is Barry T. Birkett and my business address is 9250 West
3 Flagler Street, Miami, Florida 33174.

4

5 **Q. By whom are you employed and in what capacity?**

6 A. I am employed by Florida Power & Light Company (FPL) as the
7 Manager of Rates and Tariff Administration.

8

9 **Q. Have you previously testified in this docket?**

10 A. Yes, I have.

11

12 **Q. What is the purpose of your testimony?**

13 A. The purpose of my testimony is to present for Commission review
14 and approval the fuel cost recovery factors, the capacity payment
15 factors and the oil backout factor for the Company's rate schedules

1 for the period April 1995 through September 1995. The calculation
2 of the fuel cost recovery factors is based on projected fuel cost and
3 operational data as set forth in Commission Schedules E1 through
4 E10, H1 and other exhibits filed in this proceeding and data
5 previously approved by the Commission.

6
7 In addition, my testimony presents the schedules necessary to
8 support the calculation of the Estimated/Actual True-up amounts for
9 the Fuel Cost Recovery Clause (FCR), Capacity Cost Recovery
10 Clause(CCR), and Oil Backout Cost Recovery Clause (OB), for the
11 period October 1994 through March 1995. I have included
12 explanations for the variances between the original projections for
13 the period October 1994 through March 1995 approved at the August
14 1994 hearings, versus the two months actual/four months revised
15 projections for the same period (Estimated/Actual).

16

17 **Q. Have you prepared or caused to be prepared under your direction,**
18 **supervision or control an exhibit in this proceeding?**

19 **A. Yes, I have. It consists of various schedules included in Appendices**
20 **II, III, IV, and V. Appendices II and III contains the FCR related**
21 **schedules, Appendix IV contains the capacity related schedules, and**
22 **Appendix V contains the Oil-backout related schedules.**

23

1 Also, included in Appendix III (pages 7 through 49) are the
2 Commission Schedules A1 through A13 for October and November
3 1994. These schedules were prepared by various departments
4 including Power Supply, Rates, Plant Services and Accounting, and
5 present a monthly comparison between the original projections and
6 the actual generation, sales and fuel costs for the two months.

7
8 **Q. What is the source of the data which you will present by way of**
9 **testimony or exhibits in this proceeding?**

10 A. Unless otherwise indicated, the actual data is taken from the books
11 and records of FPL. The books and records are kept in the regular
12 course of our business in accordance with generally accepted
13 accounting principles and practices and provisions of the Uniform
14 System of Accounts as prescribed by this Commission.

15

16 **FUEL COST RECOVERY CLAUSE**

17

18 **Q. What are the proposed fuel factors for which the Company requests**
19 **approval?**

20 A. The proposed Fuel factors for which the Company is requesting
21 approval are shown on Schedule E1, Page 4 of Appendix II for Non
22 Time of Use Rates and Schedule E1, Page 5 of Appendix II for Time
23 of Use Rates. Schedule E2, Page 6 of Appendix II indicates the

1 monthly fuel factors for April 1995 through September 1995.

2

3 **Q. Has the Company made any changes to the Fuel Cost Recovery**
4 **Clause being proposed?**

5 A. Yes, we have. The Company is proposing to change the allocation
6 of fuel costs. This proposed method was originally submitted on
7 June 27, 1994 and deferred to this filing during the August 1994 Fuel
8 hearings.

9

10 **Q. Please describe why FPL is proposing to change the allocation of**
11 **fuel costs?**

12 A. The current method of charging customers in all classes based on
13 the same average cost per kWh assigns cost responsibility as if all
14 kWhs have an equal impact on FPL's fuel cost. A more appropriate
15 methodology would recognize and take into account the fact that
16 system fuel cost is not the same in all hours of the day, nor in all
17 days of the year due to differences in the level of generation and in
18 the cost of fuel for, and the efficiencies of, generation units. A more
19 appropriate allocation methodology would reflect that each rate class
20 does not comprise the same proportion of system kWh sales in
21 every hour, but that the proportions change from hour to hour. A
22 methodology that took all of this into account would reflect that some
23 classes use more energy in higher cost periods than do other

1 classes rather than having all customers classes pay the same
2 average fuel costs. FPL is proposing a change to the allocation of
3 fuel costs through the Fuel Cost Recovery Clause which addresses
4 differences in costs and class kWh usage between hours and results
5 in a more appropriate allocation of cost between customer classes.
6

7 **Q. Will you describe FPL's proposed fuel cost allocation method?**

8 A. The allocation method which FPL is proposing recognizes that
9 system fuel cost per kWh increases and decreases as load
10 increases and decreases. This is the result of the use of economic
11 dispatch, under which the most economical units are called upon to
12 serve load first. As load grows, units with higher incremental costs
13 are called upon, resulting in increasing costs per kWh. It would be
14 impractical to attempt to project fuel cost by hour for a six month
15 period and to match that with a projection of kWh sales by rate
16 class. Instead, our proposed methodology looks at the hourly loads
17 from the previous year and the contribution of each class to those
18 hourly loads. The kWhs consumed in each hour are weighted such
19 that kWhs in those hours with higher loads are allocated a higher
20 proportion of total fuel cost to reflect the higher fuel cost for those
21 hours. The kWhs in those hours with lower loads receive lower
22 weights and thus are allocated a lower proportion of total system fuel
23 cost. This weighting of kWhs by the load in the hour in which they

1 were consumed is done for each rate class. By doing this, the
2 method proposed by FPL results in the establishment of Fuel Cost
3 Recovery factors for each class such that the price is highest for
4 those classes which contribute the most to the hours with the highest
5 load.

6
7 I am using "higher" and "lower" as relative terms as compared to a
8 typical hour. Loads in a "higher" hour are higher than those in a
9 typical hour and result in a higher fuel per kWh than in a typical
10 hour. Loads in a "lower" hour are lower than those in a typical hour
11 and result in a lower fuel cost per kWh than in a typical hour.

12
13 **Q. Please summarize the calculation of the fuel cost recovery factors**
14 **under the method proposed by FPL.**

15 **A.** In FPL's proposed methodology, each hour from the historic period
16 is given a weight based upon that hour's contribution to total retail
17 kWh for the period. The weight calculated for each hour is then
18 applied to the kWh for each class in that hour. These "weighted
19 kWhs" are summed for each class and the contribution of each class
20 to the total weighted kWhs for the historic period is determined. A
21 ratio of weighted kWh contribution to unweighted kWh contribution,
22 or price multiplier, is then calculated for each rate class. This price
23 multiplier is then applied to the system average Fuel Cost Recovery

1 factor for the projected period to determine the class factor before
2 losses. The delivery loss multipliers for each rate class then are
3 applied to establish the Fuel Cost Recovery factors for the classes.
4 The calculation of the Fuel Cost Recovery factors for the non-time
5 of use classes is shown on Schedule E1, Page 4 of Appendix II .
6

7 Under FPL's proposal, classes which contribute more to high-load
8 periods than to lower-load periods will have a higher percentage of
9 the weighted kWh than unweighted kWh. These classes will thus
10 have a price multiplier greater than one and a fuel factor higher than
11 the average factor. The opposite is true for classes with greater
12 contributions to lower-load (and lower cost) periods.
13

14 **Q. How are charges for Time Of Use (TOU) classes established in your**
15 **proposed methodology?**

16 **A.** The charges for TOU rate classes start with the factor calculated as
17 discussed above for the non-TOU counterpart to each class (e.g. the
18 RS-1 factor is the basis for the RST-1 factor, etc.). The calculation
19 also uses the on-peak, off-peak and average marginal fuel costs
20 projected for the period as presented in the twentieth revision of
21 COG-1 Tariff Sheet No. 10.101, effective October 1, 1994. The ratio
22 of the onpeak marginal cost to the average marginal cost would be
23 applied to the class Fuel Cost Recovery factor to determine the

1 onpeak fuel factor. Likewise, the ratio of the offpeak marginal cost
2 to the average marginal cost would be used to calculate the offpeak
3 fuel factor. These factors based on the marginal cost ratios are then
4 adjusted, both by the same percentage, to achieve revenue neutrality.
5 The calculation of the Fuel Cost Recovery factors for the TOU
6 classes is shown on Schedule E1, Page 5 of Appendix II.

7

8 **Q. Is this the method currently used to calculate Fuel Cost Recovery**
9 **factors for TOU classes?**

10 A. No, it is not. Under the method currently used, system average
11 onpeak and offpeak factors are calculated using total system fuel
12 costs and kWhs projected for the onpeak and offpeak periods. The
13 proposed method improves upon that in two ways. First, the use of
14 the Fuel Cost Recovery factor for the counterpart non-TOU class
15 result in the same allocation improvement discussed above. In
16 addition, the use of the marginal cost ratios to calculate onpeak and
17 offpeak fuel factors results in a price signal to TOU customers which
18 better reflects the impacts on the system of onpeak and offpeak
19 usage.

20

21 **Q. How does the FPL proposal affect "fuel symmetry"?**

22 A. This question was first raised at the Commission's workshop called
23 to discuss FPL's proposal. To my knowledge, fuel symmetry is a

1 theoretical concept for which there is no single common definition or
2 usage. Basically, fuel symmetry refers to the relationship between
3 the allocation of fuel costs and the allocation of production plant
4 costs among classes or customers within classes. For example,
5 some use fuel symmetry as a basis to propose that customer
6 classes pay for each type of fuel in the same proportion that they
7 pay the fixed costs associated with the plant(s) that burn the fuel.

8
9 Classes with lower than average load factors, primarily residential
10 classes, by definition contribute a greater proportion to system peak
11 loads than to total kWh sales. The class's contribution to system
12 peak loads is important because fixed power plant costs are
13 allocated to each class on that basis. For example, a class could
14 pay for 60% of the fixed costs associated with power plants (based
15 on its peak contribution) but use only 50% of the total kWh. Under
16 the current method, the class would pay for 50% of the fuel costs.
17 The fuel symmetry theory says that this class should pay 60% of the
18 total fuel cost even though it uses only 50% of the kWh. As such,
19 the fuel symmetry theory says this class should pay 60% of the fuel
20 cost without even looking at the class's contribution to the causation
21 of those fuel costs.

22
23 The necessary relationship between cost causation for the fixed plant

1 costs and for the fuel cost does not exist to support the application
2 of fuel symmetry as I understand it.

3

4 **Q. Is this concept appropriate for application here?**

5 A. No. In my opinion, fuel symmetry represents an incorrect attempt to
6 simplify a relationship which is very complex -- a relationship which
7 really should not impact a decision on the use of FPL's proposed
8 allocation methodology.

9

10 **Q. Why should the Commission rule on the allocation of fuel cost
11 separately from the allocation of base rate costs?**

12 A. Fuel costs are a different type of cost from fixed costs, with different
13 cost causation, and are appropriately allocated on different bases.
14 Fuel costs are variable costs, that is the level of cost varies
15 according to the level of kWh usage by customers. Under the
16 current allocation methodology, each kWh used by our customers is
17 assumed (implicitly) to have the same impact on fuel costs. Under
18 our proposed allocation methodology, kWhs used when loads are the
19 highest are assumed to have a greater impact on fuel costs than
20 those used during lower load periods, which more accurately reflects
21 the causation of the fuel costs. Both methods, though, reflect the
22 fact the fuel costs are variable costs, or costs which vary with the
23 number of kWh.

1 Fixed production costs, on the other hand, do not vary with the
2 number of kWh used. In its recent decisions, the Commission has
3 allocated these costs to classes based on each class' contribution to
4 monthly system peaks. This is consistent with the causation of the
5 fixed costs because new plants are built (or capacity is purchased)
6 as the utility's peak loads increase.

7

8 **Q. How does this relate to the fuel symmetry discussion?**

9 A. As I explained, there are different bases used for the allocation of
10 fuel costs and fixed productions costs -- bases which reflect the
11 drivers, or cost-causation factors -- of those costs. As such, it would
12 be inappropriate to simply say that "Class A pays for x% of this type
13 of power plant so it should pay for x% of the fuel from that type of
14 plant." In other words, "fuel symmetry" is an approach which would
15 not reflect the underlying basis of FPL's fuel costs. The result I
16 pointed out earlier is just as wrong from a theoretical standpoint as
17 it is from a common-sense point of view.

18

19 **Q. If the Commission were to say that "fuel symmetry" was to be one**
20 **of the criteria used to determine the appropriate allocation of fuel**
21 **costs, how would that impact the appropriateness of your proposed**
22 **methodology compared to the current methodology?**

23 A. It shouldn't impact the appropriateness of our proposal at all. The

1 allocation method being proposed by FPL really has a small impact
2 on the proportion of total fuel costs allocated to each class. Because
3 the change is small, there should not be any significant change in
4 whatever fuel symmetry might or might not exist, which would be
5 accidental in either case, under the current methodology.

6

7 **Q. Does FPL have any other costs that should be recovered through the**
8 **Fuel Cost Recovery Clause?**

9 A. Yes. FPL is including in the proposed Fuel Cost Recovery Factor
10 the cost of implementing certain equipment modifications at some of
11 its generating facilities to enable these facilities to operate using a
12 less expensive grade of residual fuel oil. As further discussed in the
13 testimony of Rene Silva, the cost of these modifications are
14 estimated to be \$2,754,502.

15

16 The Company has analyzed several alternative periods for recovery
17 of these costs, which would normally be put into rate base. We have
18 determined that expensing these costs in the month of April 1995,
19 the first month of the recovery period, is the least costly alternative
20 for our customers. The cost to our customers would be lowest, on
21 a net present value basis, if the cost is expensed rather than
22 capitalized and recovered over time with FPL earning a return on the
23 investment.

1 Q. What is the basis for requesting recovery of these equipment
2 modifications through the Fuel Cost Recovery Clause?

3 A. The Commission in Docket No. 850001-EI-B, Order No. 14546
4 issued on July 8, 1985 stated, regarding the charges appropriately
5 included in the calculation of fuel expense:

6

7 "Fossil fuel-related costs normally recovered through
8 base rates but which were not recognized or
9 anticipated in the cost levels used to determine current
10 base rates and which, if expended, will result in fuel
11 savings to customers. Recovery of such costs should
12 be made on a case by case basis after Commission
13 approval."
14

15 The Company has estimated that these modifications costing
16 \$2,754,502 will yield fuel savings of approximately \$8.38 million
17 during the April through September 1995 period and \$81.3 million
18 from 1995 to 1999. Since these or similar modifications have not
19 been made at any other generating unit, FPL believes that these or
20 similar costs have not been recognized in cost levels used to
21 determine FPL's current base rates.

22

23 While I am not aware of an instance in which the Commission
24 approved a similar cost for recovery through the Fuel Cost Recovery
25 clause, these expenditures will result in significant fuel savings for
26 FPL's customers and appear to be the type of a costs which the

1 Commission contemplated being recovered through the clause. For
2 these reasons, FPL believes that it is appropriate to bring this issue
3 forward for Commission consideration and approval.

4
5 **Q. What adjustments are included in the calculation of the six-month
6 levelized fuel factor shown on Schedule E1, Page 3 of Appendix II?**

7 **A.** As shown on line 28 of Schedule E1, Page 3, of Appendix II the
8 estimated/actual fuel cost overrecovery for the October 1994 through
9 March 1995 period amounts to \$21,299,545. This estimated/actual
10 overrecovery for the October 1994 through March 1995 period plus
11 the final underrecovery \$6,684,993 for the April 1994 through
12 September 1994 period results in a net overrecovery of
13 \$14,614,552. This amount, divided by the projected retail sales of
14 39,346,511 MWh for April 1995 through September 1995 results in
15 a decrease of .0371¢ per kWh before applicable revenue taxes. In
16 his testimony for the Generating Performance Incentive Factor, FPL
17 Witness R. Silva calculated a reward of \$3,065,156 for the period
18 ending September 1994, to be applied to the April 1995 through
19 September 1995 period. This \$3,065,156 divided by the projected
20 retail sales of 39,346,511 MWh during the projected period, results
21 in an increase of .0078¢ per kWh, as shown on line 32 of Schedule
22 E1, Page 3 of Appendix II.

23

1 Q. Please explain the calculation of the Estimated/Actual True-up
2 amount you are requesting this Commission to approve.

3 A. Appendix III, page 3, shows the calculation of the Estimated/Actual
4 True-up amount. The calculation of the estimated/actual true-up
5 amount for the October 1994 through March 1995 is an
6 overrecovery, including interest, of \$21,299,545 (Column 7, lines D7
7 plus D8). This amount, when combined with the Final True-up
8 underrecovery of \$6,684,993 (Column 7, line D9a) deferred from the
9 period April 1994 through September 1994, presented in my Final
10 True-up testimony filed on November 14, 1994, results in the End of
11 Period overrecovery of \$14,614,551 (Column 7, line D11).

12

13 This schedule also provides a summary of the Fuel and Net Power
14 Transactions (lines A1 through A7), kWh Sales (lines C1 through
15 C4), Jurisdictional Fuel Revenues (line D1 through D3), the True-up
16 and Interest calculation (lines D4 through D10) for this period, and
17 the End of Period True-up amount (line D11).

18

19 The data for October and November 1994, columns (1) and (2),
20 reflects the actual results of operations and the data for December
21 1994 through March 1995, columns (3) through (6), are based on
22 updated estimates.

23

1 The true-up calculations follow the procedures established by this
2 Commission as set forth on Commission Schedule A2 "Calculation
3 of True-Up and Interest Provision" filed in this proceeding in
4 Appendix III, pages 7 through 49.

5

6 **Q. Have you provided a schedule showing the variances between the**
7 **Original Projections and the Estimated/Actuals?**

8 A. Yes. Appendix III, page 4, shows Estimated/Actual fuel costs and
9 revenues compared to the original estimates for the October 1994-
10 March 1995 period.

11

12 **Q. What is the variance in fuel costs for the period?**

13 A. As shown on line A7, fuel costs on a total system basis are now
14 projected to be \$1.3 million higher than originally estimated. This
15 variance is detailed by major cost components on page 5. The \$1.3
16 million total system variance relating to the estimated/actual period
17 is primarily caused by a \$14.3 million increase in energy cost of
18 economy purchases, offset by a \$6.4 million decrease in energy
19 payments to qualifying facilities, a \$4.5 million decrease in the cost
20 of purchased power and a \$4.1 million decrease in the fuel cost of
21 system net generation.

22

23 **Q. What is the variance in retail (jurisdictional) Fuel Cost Recovery**

1 **revenues for the period?**

2 A. As shown on Page 4, line D1b, jurisdictional fuel revenues, net of
3 revenue taxes, are now projected to be \$20.8 million higher than
4 originally estimated. This increase is primarily due to higher
5 jurisdictional kWh sales. Jurisdictional sales are now estimated to
6 be 1,377,146,127 kWh (4.13%) higher than originally forecasted.

7

8 **Q. Have you provided a schedule explaining the reasons for these**
9 **variances?**

10 A. Yes. Appendix III, pages 5 and 6, contain a more detailed analysis
11 of the cost variances with a corresponding explanation for variances
12 deemed material.

13

14 **CAPACITY PAYMENT RECOVERY CLAUSE**

15

16 **Q. Please describe Page 3 of Appendix IV.**

17 A. Page 3 of Appendix IV provides a summary of the requested
18 capacity payments for the projected period of April 1995 through
19 September 1995. Total recoverable capacity payments amount to
20 \$144,171,942 and include payments of \$113,551,146 to non-
21 cogenerators and payments of \$76,913,075 to cogenerators. This
22 amount is offset by revenues from capacity sales of \$953,840,
23 \$28,472,796 of jurisdictional capacity related payments included in

1 Base Rates and the net overrecovery of \$15,122,583 reflected on
 2 line 8. The net overrecovery of \$15,122,583 includes the final
 3 overrecovery of \$2,159,836 for the April 1994 through September
 4 1994 period plus the estimated/actual overrecovery of \$12,962,747
 5 for the October 1994 through March 1995 period.

6

7 **Q. Please describe Page 4 of Appendix IV.**

8 A. Page 4 of Appendix IV calculates the allocation factors for demand
 9 and energy at generation. The demand allocation factors are
 10 calculated by determining the percentage each rate class contributes
 11 to the monthly system peaks. The energy allocators are calculated
 12 by determining the percentage each rate contributes to total kWh
 13 sales, as adjusted for losses, for each rate class.

14

15 **Q. Please describe Page 5 of Appendix IV.**

16 A. Page 5 of Appendix IV presents the calculation of the proposed
 17 Capacity Payment Recovery Clause (CCR) factors by rate class.

18

19 **Q. Please explain the calculation of the CCR Estimated/Actual True-up
 20 amount you are requesting this Commission to approve.**

21 A. Appendix IV, page 6, shows the calculation of the CCR
 22 Estimated/Actual True-up amount. The Estimated/Actual True-up for
 23 the period October 1994 through March 1995 is an overrecovery,

1 including interest, of \$12,962,747 (Column 7, lines 14 plus 15). This
2 amount, plus the Final True-up overrecovery of \$2,159,836 (Column
3 7, line 17) deferred from the period April 1994 through September
4 1994, presented in my Final True-up testimony filed on November
5 14, 1994, results in the End of Period overrecovery of \$15,122,583
6 (Column 7, line 19).

7

8 **Q. Is this true-up calculation consistent with the true-up methodology**
9 **used for the other cost recovery clauses?**

10 A. Yes it is. The calculation of the true-up amount follows the
11 procedures established by this Commission as set forth on
12 Commission Schedule A2 "Calculation of True-Up and Interest
13 Provision" for the Fuel Cost Recovery clause.

14

15 The resulting overrecovery of \$15,122,583 has been included in the
16 calculation of the Capacity Cost Recovery factor for the period April
17 1995 through September 1995.

18

19 **Q. Please explain the calculation of the Interest Provision.**

20 A. Appendix IV, page 7, shows the calculation of the interest provision
21 and follows the same methodology used in calculating the interest
22 provision for the other cost recovery clauses, as previously approved
23 by this Commission.

1 **Q. Have you provided a schedule showing the variances between the**
2 **Estimated/Actuals and the Original Projections?**

3 A. Yes. Appendix IV, page 8, shows the Estimated/Actual capacity
4 charges and applicable revenues compared to the original
5 projections for the period.
6

7 **Q. What is the variance related to capacity charges?**

8 A. The variance related to capacity charges is a \$5.7 million decrease.
9 This variance is primarily due to a \$4.8 million decrease in Unit
10 Power (UPS) Capacity Charges. This decrease is due to revised
11 monthly capacity rates which are provided by Southern Company
12 being lower than originally projected and common investment being
13 lower than projected for the actual period.
14

15 **Q. What is the variance in Capacity Cost Recovery revenues?**

16 A. As shown on line 13, Capacity Cost Recovery revenues, net of
17 revenue taxes, are now estimated to be \$6.8 million higher than
18 originally projected. This increase is primarily due to higher
19 jurisdictional kWh sales. Jurisdictional sales are now estimated to
20 be 1,377,146,127 kWh (4.13%) higher than originally forecasted.
21

22 **OIL BACKOUT COST RECOVERY CLAUSE (OB)**
23

1 Q. Please explain the calculation of the OB Factor you are requesting
2 this Commission to approve.

3 A. Appendix V, page 3, shows the derivation of the OB Factor of .012
4 cents per kWh requested for the projected period April 1995 through
5 September 1995. This Factor represents the \$4,246,954 in projected
6 costs divided by the total kWh sales projected for the period, plus the
7 Estimated/Actual End of Period underrecovery of \$515,929 for the
8 period October 1994 through March 1995, divided by the retail kWh
9 sales projected for the period April 1995 through September 1995.
10 The resulting factor was then multiplied by the Revenue Tax Factor
11 to arrive at the OB Factor for the period. Both the Revenue Tax
12 Factor and the kWh sales are the same as those used in our Fuel
13 Cost Recovery Clause included in this filing.

14
15 Q. What are the projected costs requested for recovery through the OB
16 Factor for the period April 1995 through September 1995?

17 A. Appendix V, page 4, reflects the total projected costs requested for
18 recovery for the period. These costs consist solely of the 500 kV
19 Transmission Line Project (Project) revenue requirements, which
20 total \$4,246,954 for the projected period.

21
22 As detailed on page 4, the Project revenue requirements include a
23 return on investment, taxes other than income taxes, income taxes,

1 and O&M expenses. No depreciation is included since the capital
2 investment in the 500 kV line was fully depreciated in October 1989.
3 A detailed description of the methodology used to calculate the
4 revenue requirements of the Project was included in E.L. Hoffman's
5 testimony, Document No. 1 for the February 1983 hearing.

6

7 **Q. Have you also presented the Estimated/Actual costs for the period**
8 **October 1994 through March 1995?**

9 A. Yes, Appendix V, page 6, shows the components of the \$4,874,070
10 Estimated/Actual Project revenue requirements requested for the
11 period. It contains similar information as that described in the
12 previous paragraph, except it reflects two months actual data and
13 four months updated estimates.

14

15 **Q. What is the purpose of the schedules showing kWh sales?**

16 A. The purpose of the schedules showing kWh sales on pages 5 and
17 7, is to show the calculation of the monthly percentage of retail
18 (jurisdictional) kWh sales to total kWh sales, for the projected and
19 Estimate/Actual periods respectively. These monthly percentages
20 (jurisdictional factor) are used to allocate costs between retail and
21 wholesale customers. The kWh sales reflected on these schedules
22 are consistent with the kWh sales shown in the FCR and CCR
23 schedules.

- 1 **Q. Please explain the calculation of the OB Estimated/Actual True-up**
2 **amount you are requesting this Commission to approve.**
- 3 **A. Appendix V, page 8, shows the calculation of the OB**
4 **Estimated/Actual True-up amount. The Estimated/Actual True-up for**
5 **OB is an underrecovery, including interest, of \$527,531 (Column 9,**
6 **lines 7 plus 8). This amount, when combined with the Final True-up**
7 **overrecovery of \$11,602 (Column 9, line 10) deferred from the period**
8 **April 1994 through September 1994, presented in my Final True-up**
9 **testimony filed on November 14, 1994, results in the End of Period**
10 **underrecovery of \$515,929 (Column 9, line 12).**
- 11
- 12 **Q. Please explain the calculation of the interest provision.**
- 13 **A. Appendix V, page 9, shows the calculation of the interest provision**
14 **for the period October 1994 through March 1995 and is consistent**
15 **with the procedures used in calculating the interest for the FCR and**
16 **CCR clauses. The interest owed by FPL as a result of net**
17 **overrecoveries during the period is \$991 as shown on line 10.**
- 18
- 19
- 20 **Q. Have you provided a schedule showing the variances between**
21 **Estimated/Actuals and the Original Projections?**
- 22 **A. Yes. Appendix V, page 10, entitled "Calculation of Estimated/Actual**
23 **True-up Variances", shows the estimated/actual Oil Backout costs**

1 and revenues compared to the original projections for the period
2 October 1994 through March 1995.

3

4 **Q Have you provided a schedule explaining the reasons for these**
5 **variances?**

6 A Yes. Pages 11 and 12, of Appendix V, provide a more detailed
7 analysis of the variances with corresponding explanations for
8 Revenue Requirements, and Jurisdictional kWh Sales, respectively.

9

10 **Q. What effective date is the Company requesting for the new factors?**

11 A. The Company is requesting that the new factors become effective
12 with customer billings on cycle day 3 of April 1995 and continue
13 through Customer billings on cycle day 2 of September 1995. This
14 will provide for 6 months of billing on these factors for all our
15 customers.

16

17 **Q. What will be the charge for a Residential customer using 1,000 kWh**
18 **effective April 1995?**

19 A. The total residential bill, excluding taxes and franchise, for 1,000
20 kWh will be \$72.65. The base bill for 1,000 residential kWh is
21 \$47.38, the fuel cost recovery charge from Schedule E1, Page 4 of
22 Appendix II for a residential customer is \$17.64, the Conservation
23 charge is \$2.52, the Oil Backout charge is \$.12, the Capacity

1 Recovery charge is \$4.15, the Environmental Cost Recovery charge
2 is \$.10 and the Gross Receipt Tax is \$.74. A Residential Bill
3 Comparison (1000kWh) is presented in Schedule E10, Page 30 of
4 Appendix II.

5

6 **Q. Does this conclude your testimony.**

7 **A. Yes, it does.**

1 BY MR. CHILDS:

2 Q Mr. Birkett, would you please summarize your
3 direct testimony.

4 A In my direct testimony I have presented for
5 Commission review and approval the fuel cost recovery
6 clause factor through the April to September 1995
7 period, including the estimated actual true-up for the
8 October '94 through March 1995 period.

9 In addition, my testimony presents for
10 Commission approval FPL's proposal to change the method
11 of allocating fuel costs to the various customer
12 classes.

13 The current recovery methodology assigns the
14 same average cost to all kilowatt-hours as if they had
15 an equal impact on FPL's fuel cost. The proposed
16 methodology recognizes the fact that system fuel costs
17 are not the same in all hours of the day, nor on all
18 days of the year. This is due to differences in the
19 levels of generation from hour to hour, and then the
20 cost for fuel and the efficiencies of generating units.
21 The proposed methodology addresses differences in cost
22 and class kilowatt-hour usage between hours and results
23 in a more appropriate allocation of cost between
24 customer classes.

25 FPL is also requesting recovery of

1 \$2.8 million of equipment modification to some of its
2 generating units to enable these facilities to operate
3 using a less expensive grade of fuel oil.

4 Our request for recovery is based on the
5 criteria established by the Commission in Docket 850001,
6 Order No. 14546, which was issued on July 8th, 1995,
7 regarding charges which are appropriately included in
8 the calculation of fuel expense.

9 Now, these equipment modifications will yield
10 fuel savings of approximately \$8.4 million in the
11 projected period and a total of \$81.3 million from 1995
12 through 1999.

13 Although these costs are of a type which would
14 typically be recovered through base rates, the
15 Commission, in Order 14546, provided further review and
16 approval on a case-by-case basis of fuel cost recovery
17 for expenses which were not recognized, nor anticipated,
18 in the cost levels used to determine current base rates,
19 and which if expended would result in fuel savings to
20 customers.

21 I believe that these expenditures are of the
22 type the Commission anticipated being recovered through
23 the fuel cost recovery clause in that order.

24 This concludes my summary.

25 MR. CHILDS: We tender Mr. Birkett for cross

1 examination.

2 COMMISSIONER DEASON: Questions for Mr.
3 Birkett? Mr. Kaufmann.

4 CROSS EXAMINATION

5 BY MR. KAUFMANN:

6 Q Good morning, Mr. Birkett.

7 A Good morning.

8 Q I'd like to ask you a couple of questions
9 regarding the modifications to the plants that you
10 discuss in your direct testimony.

11 How long will ratepayers receive benefits from
12 these modifications?

13 A While I believe Mr. Silva can address that
14 more fully, FPL has provided projections of savings for
15 the next five years, though we believe that savings will
16 exist beyond that period.

17 Q Do you know how far beyond that period they
18 will continue?

19 A No, I do not. You'd have to ask Mr. Silva.

20 Q All right. Let me show you a document which
21 was turned over to Florida Steel as a response to
22 Florida Steel's First Set of Interrogatories,
23 Interrogatory No. 5.

24 COMMISSIONER DEASON: Mr. Kaufmann, while
25 you're speaking you need to be at a microphone so the

1 court reporter can pick it up. (Hands document to
2 witness.)

3 MR. KAUFMANN: Commissioners, for another
4 identification number, do I just take the next one?
5 That would be 39?

6 COMMISSIONER DEASON: Yes. Do you wish this
7 identified?

8 MR. KAUFMANN: Yes, please.

9 COMMISSIONER DEASON: It will be identified as
10 Exhibit No. 39.

11 (Exhibit No. 39 marked for identification.)

12 Q (By Mr. Kaufmann) Mr. Birkett, do you see
13 that that response answers a request regarding the
14 remaining useful life for each plant listed in FPL
15 Appendix 1, Page 8 of the January 17th, 1995 filing; is
16 that correct?

17 A Yes, it is.

18 Q And was this response sponsored by you?

19 A I believe it was, yes.

20 MR. KAUFMANN: At this time I'd ask for
21 admission of Exhibit No. 39, please.

22 COMMISSIONER DEASON: It's our custom that at
23 the conclusion of the witness' testimony we'll move all
24 exhibits and you'll be given that opportunity at the
25 conclusion of this witness' testimony to move that

1 exhibit.

2 MR. KAUFMANN: Thank you.

3 Q (By Mr. Kaufmann) Is it correct from reading
4 this response, Mr. Birkett, that the minimum remaining
5 life of any of these units is 9.4 years?

6 A Yes. That is correct.

7 Q And the maximum listed here would be for
8 Canaveral Unit 1, which is 20 years?

9 A Yes.

10 MR. KAUFMANN: Thank you.

11 COMMISSIONER DEASON: Any further questions?

12 MR. KAUFMANN: No more questions.

13 CROSS EXAMINATION

14 BY MR. HOWE:

15 Q Hello, Mr. Birkett.

16 A Good morning.

17 Q If Florida Power and Light were to include the
18 cost of this \$2.8 million modification in its
19 calculation of its earned rate of return for
20 surveillance report purposes, would the Company still
21 earn within its authorized return on equity range?

22 A I haven't seen that calculation so I could not
23 answer that question.

24 Q What's the next generating plant addition in
25 FPL's plans currently?

1 A I do not know. I have not seen the plan.

2 Q Whatever they are planning on building in the
3 future, do you believe they will take the cost of fuel
4 into consideration?

5 A Yes, FPL takes into account the entire cost of
6 the unit when determining which unit to build.

7 Q Would you agree the cost of fuel would be a
8 significant consideration in determining what the next
9 generation addition will be on Florida Power and Light's
10 system?

11 A I don't know that I could say which costs
12 would be highest relative in significance, but fuel cost
13 would be one consideration.

14 Q In your estimation, would it be reasonable if
15 Florida Power and Light were to bring on a generating
16 unit, the single purpose of which was to reduce its
17 overall fuel cost, would it be reasonable for Florida
18 Power and Light to seek recovery through the fuel cost
19 recovery clause of all of its investment in that plant
20 addition?

21 A First, you're stating a premise which I don't
22 think you know is possible.

23 FPL has no plans to bring on a unit which
24 would be brought on solely to reduce fuel costs, though
25 I would not foresee requesting to recover that unit

1 through the fuel clause.

2 Q Does Florida Power and Light have any similar
3 plant modifications its made on generating units for the
4 specific purpose of reducing fuel cost for which it has
5 not sought recovery through the fuel clause?

6 A I'm not aware of any such modifications.

7 MR. HOWE: I have no further questions.

8 COMMISSIONER DEASON: Mr. McWhirter.

9 CROSS EXAMINATION

10 BY MR. McWHIRTER:

11 Q Mr. Birkett, as I understand it, Mr. Silva, is
12 the one that will explain to us what these modifications
13 are, and you're just the man that translates that into
14 economic terms; is that correct?

15 A Yes. I translate it into the rates, and
16 really I'm here also to explain why it's appropriate to
17 recover them through the fuel clause.

18 Q Well, the rationale for the recovery is that
19 these modifications result in a lower fuel cost, and as
20 a result you want to pass it through the fuel cost
21 recovery clause rather than base rates; is that the
22 theory?

23 A Yes. It's our belief that the Commission
24 envisioned costs of this type being recovered through
25 the fuel clause, although, I believe as I said in my

1 testimony, we're not aware of any specific precedents.
2 It is our belief that these would be appropriate
3 pursuant to that order.

4 Q Well, you referred to Order 14546, and I
5 presume it's Item 10 under that order that is the basis
6 for your recovery?

7 A Yes, it is.

8 Q Now, the total cost is \$2.8 million rounded.
9 Is that the total cost of construction or the annual
10 carrying costs on these modifications for one year?

11 A That is the total cost of construction and
12 that is as an expense amount. There is no carrying cost
13 in there.

14 Q What was the impetus to -- although the
15 savings will be realized over a number of years -- to
16 put the total cost in the first year?

17 A Well, we looked at expensing the costs in the
18 current period versus, you know, spreading those over
19 time with the carrying costs associated with them, and
20 we found that expensing them resulted in a total lower
21 cost to our customers, because the carrying cost would
22 actually increase it if applied over time. And that
23 combined with the fact that there were fuel savings in
24 the current period significantly in excess of those
25 expenses led us to believe that it would be appropriate

1 to recover them all at once in the current period.

2 Q For purposes of Florida Power and Light's 1994
3 tax return, were these costs expensed or were they
4 capitalized?

5 A I could not tell you that, sir.

6 Q Mr. Birkett, I'd like now to change your
7 attention to Exhibit 13, I believe it's BTB No. 6. On
8 Page 4 of that exhibit you calculate the interest on the
9 overrecovery amounts for the period of October '94
10 through March of '95. I guess it's an earlier period,
11 the \$20 million. And on Line 8 of Page 4 you show that
12 interest to be \$364,000 -- \$364,888 that you're going to
13 pay to customers this summer for overrecoveries last
14 winter. Is that see essentially what is happening?

15 A Yes, it is.

16 Q What's that interest rate and how is it
17 calculated?

18 A That interest rate is calculated pursuant to
19 Commission Orders. It is the commercial paper rate.

20 Q I understand it's the commercial paper rate
21 but what rate did you precisely use? I just divided
22 \$20 million into 364,000 and came out to about 1.7%
23 interest. But obviously that's inaccurate.

24 A I would have to look back through the work
25 papers. But the rate is actually applied on a monthly

1 basis to the net over- and underrecovery at that time,
2 so if you're looking at --

3 Q Is the starting period from the moment the
4 money is collected, or is it some other time?

5 A It is looked at at the end of each month. The
6 balance of the over- and underrecovery at the end of
7 each month. So over the course of a six-month period
8 there could be offsetting over- and underrecoveries
9 which would affect the total amount of interest paid.

10 Q As I understand it, the commercial paper rate
11 is in the vicinity of 6% simple annual interest at this
12 juncture?

13 A That's consistent with my understanding. It
14 has been fluctuating some.

15 Q Is fluctuation on a monthly, daily or what
16 other frequency period?

17 A Well, we look at the rate on a monthly basis,
18 and I believe it has been fluctuating over the last year
19 on a regular basis as the market has been changing.

20 Q You look at it on a monthly basis and then, is
21 that determination of the rate in any fashion submitted
22 to the Commission Staff for approval or disapproval?

23 A I'm not aware of whether or not it is
24 submitted. I believe we use a commonly accepted source
25 for that rate.

1 Q At the present time what is Florida Power and
2 Light's authorized overall rate of return?

3 A I'm not -- I don't know what our authorized
4 overall rate of return is, because there are components
5 there of various debt and equity. I'm really just
6 familiar with the authorized return on equity.

7 Q That return was established back in your last
8 rate case in 1986 and then it has been modified
9 subsequent on that time?

10 A Which return, sir?

11 Q Beg your pardon?

12 A Which return are you referring to?

13 Q The overall rate of return in your last
14 general rate case.

15 A It has been modified as the Commission has
16 modified the allowed return on equity.

17 Q Have all aspects of the return been modified
18 or only the return on equity?

19 A Only the return on equity has been modified.

20 Q What, to your recollection, if you'll refresh
21 mine -- what's the rationale for paying customers at the
22 commercial paper rate whereas customers pay you at your
23 overall rate of return, which, to the best of my
24 recollection, is somewhere in the range of about 9.7%
25 now or something in that area.

1 MR. CHILDS: Wait a minute, I will object to
2 that premise. I don't think that that's a correct
3 characterization to say the rationale -- what's the
4 rationale and then assume that the commercial paper rate
5 is paid to customers and overall return is paid to the
6 company. The Commission has a procedure, and the
7 commercial paper rate is paid to both the Company and
8 the customer, depending on whether there is an over- or
9 underrecovery.

10 COMMISSIONER DEASON: Mr. McWhirter.

11 MR. McWHIRTER: Is he objecting to the form of
12 the question, Your Honor?

13 COMMISSIONER DEASON: I think he's objecting
14 to your characterization within your question that there
15 is somehow a different rate of interest paid to the
16 company versus what is paid to the customers when there
17 is an over- or an underrecovery for fuel purposes.

18 MR. McWHIRTER: If there is --

19 COMMISSIONER DEASON: I understand your
20 question; you're mixing fuel concepts here with base
21 rate concepts.

22 MR. McWHIRTER: Oranges and apples being
23 mixed.

24 COMMISSIONER DEASON: Right. And perhaps you
25 need to clarify your question, exactly what you're

1 speaking to.

2 MR. McWHIRTER: I accept the objection and
3 withdraw the question.

4 Q (By Mr. McWhirter) Would it be fair to
5 assume, for purposes of general illustration, at the
6 present time your authorized return on base rates is
7 somewhere between 9.5 and 10%?

8 A I will assume that, subject to check.

9 Q All right, sir. Now, with respect to
10 overrecoveries and underrecoveries, if there is an
11 underrecovery, you charge the customers for that
12 underrecovery and you add a commercial paper rate to
13 that and that currently is in the range of 6%; is that
14 correct?

15 A Yes, that is correct.

16 Q And if there is an overrecovery, you pay the
17 customers the commercial paper rate, which is in the
18 rate of 6%; is that correct?

19 A Yes, it is.

20 Q Now, can you explain to me the rationale as to
21 why, for purposes of fuel underrecovery and fuel
22 overrecovery, the commercial paper rate is used rather
23 than the Company's authorized return?

24 A Well, the commercial paper rate is used, first
25 of all, because that is what the Commission has

1 established for this docket. However, it is also
2 appropriate to use that because we are dealing here --
3 you've got two different rates because you're dealing
4 with two different types of cost. The fuel cost that
5 goes through the the clause and over- and
6 underrecoveries represent expenses. They do not affect
7 the bottom line of FPL and, really, the commercial paper
8 rate is meant to keep both the customers and the Company
9 whole for this process. The overall rate of return is
10 meant to allow the Company to recover the cost of
11 financing the rate base of the Company, which includes
12 earning a fair return for the stockholders who have made
13 an investment in equity. So they are two completely
14 different issues.

15 Q Would you summarize that a little bit for me
16 and explain once again -- you say this is an interest
17 rate on expenses, do I understand you to be saying that
18 and, therefore, it should be less than the interest rate
19 on capital investment?

20 A I guess what I'm saying is that the expenses
21 are -- they are subject to an interest rate for over-
22 and underrecoveries, which reflects the current cost of
23 money in the market, so that everybody is held on an
24 equal basis; whereas, the base cost, the capital cost of
25 the Company is -- to that is applied a return which

1 reflects the cost to the company of providing that base,
2 so it is an appropriate -- it's an appropriate rate and
3 an appropriate calculation for the two different types
4 of cost.

5 Q What safeguards are in place, since you're
6 dealing with projected rates, to ensure that Florida
7 Power and Light doesn't always establish an overrecovery
8 so it would be able to get low cost money for a short
9 period of time?

10 A Well, first of all, I don't think there's any
11 incentive there for FPL to overrecover because that
12 commercial paper rate is its low cost money, but that is
13 intended to be, and really is, you know, the rate, in
14 essence what the Company would have to pay in the
15 market. So FPL is, I believe, truly indifferent.
16 However, there are safeguards there to ensure that, you
17 know, the -- you know that the system works.

18 I mean the Commission, when they established
19 the fuel cost recovery process, recognized that there
20 was going to be some volatility particularly due to the
21 fact that fuel prices will change over the course of the
22 period. And in that there are the filing of monthly A
23 Schedules so that the Commission can monitor on a
24 monthly basis what is happening. You know, the true-up
25 provision itself with the interest paid for over- and

1 underrecoveries, and there is what we call, you know,
2 the midcourse correction process, where if we believe
3 that at any time the over- or underrecovery is going to
4 be 10% or more of the total fuel cost for the period, we
5 are to notify the Commission and propose appropriate
6 action to take. And that way I think both the Company
7 and the customers are suitably protected in this
8 process.

9 Q The protections that are provided are
10 regulatory protections in the form of Commission
11 oversight as opposed to market-oriented incentives for
12 you not to -- is there any business reason why it would
13 not be advantageous to you to get low cost short-term
14 money in this fashion rather than going to the bank?

15 A Yes. We have a very good business reason
16 right now in that our customers are telling us they
17 don't want our rates to fluctuate. And we're doing our
18 best to come in with the most appropriate projection so
19 we set the most appropriate price to avoid the over- and
20 underrecoveries which cause swings in price from one
21 period to the next. We're very sensitive to what our
22 customers are telling us about needing to be able to
23 budget for, you know, their energy costs, and you know,
24 obviously electricity, you know, is a big part of our
25 customers' energy cost and we're doing our best to avoid

1 those fluctuations from one period to the next.

2 Q You're familiar with the conservation and oil
3 back out and the environmental and capacity pass through
4 dockets that are considered conjointly with this
5 proceeding.

6 Did you have underrecoveries in any or all of
7 those other dockets?

8 A I would have to go back and check those
9 filings.

10 MR. CHILDS: Commissioner, I'm having some
11 difficulty in understanding to what issue this line of
12 questioning relates. I realize that it's somewhat
13 relaxed and I haven't objected to the line of
14 questioning, but I do not understand it.

15 As to rationale for the interest rate,
16 etcetera, this is a matter that the Commission addressed
17 in detail when it first established the clause. And it
18 made a selection and we have been using that for over
19 ten years, and, therefore, I don't understand the line
20 of questioning.

21 COMMISSIONER DEASON: Mr. McWhirter, there's
22 been an objection made as to the relevancy of your
23 questions and the question as to which issue -- if they
24 are relevant, to which issue they pertain.

25 MR. McWHIRTER: Mr. Chairman, the issue in 01

1 is -- there are two issues: one is what is the amount
2 that the customer should be required to pay for the fuel
3 cost recovery, and that amount of money incorporates a
4 variety of component parts.

5 One of the component parts in the amount of
6 that recovery is the interest that is paid to consumers
7 for the overrecoveries during the prior period. In this
8 docket, and in the other dockets as well, I think we'll
9 find that there are over- and underrecoveries, and it
10 may work out perfectly satisfactory, but my concern is
11 that whether or not it's up to the Commission alone to
12 protect the consumers against a habit and a custom of
13 overrecoveries, or whether there are market incentives
14 in place that would encourage the Company not to
15 overrecover from time to time.

16 COMMISSIONER DEASON: I thoroughly understand
17 that, but my specific question is: Which issues in the
18 Prehearing Order, which are being contested, do your
19 questions relate?

20 MR. McWHIRTER: It's a total amount of fuel
21 cost factor. Let me see if I can quickly find that
22 issue.

23 COMMISSIONER DEASON: Mr. McWhirter, that
24 issue has been stipulated to the extent it is a fallout
25 calculation. And to the extent there are other issues,

1 namely 10A, 10 B, 10C, 23A which result in a change in
2 calculations, those would automatically be factored into
3 the final determination.

4 I need to know if your questions in your mind
5 relate to one of the four issues, 10A, 10B, 10C or 23A.

6 MR. McWHIRTER: With respect to 10C there's an
7 allegation that there will be a \$65 million
8 overrecovery, as I recall the allegation, from Florida
9 Steel. And if that's the case, then at the end of the
10 the term that \$65 million will be refunded to the
11 customers, the winter consumers of Florida Power and
12 Light, and the question is when that is returned, will
13 there be a neutral impact or will the interest charge
14 placed upon that \$65 million be less than the market
15 rate of interest?

16 COMMISSIONER DEASON: I'm going to ask you
17 then to -- if your questions relate to 10C and the
18 estimated gas prices, and whether those have been
19 reasonably estimated, and if there's an impact with
20 interest rates on that estimation, I'm going to allow
21 you to pursue your questions. But I need -- your
22 question is more directly related to the issue which is
23 specifically identified as 10C.

24 MR. McWHIRTER: All right, sir.

25 COMMISSIONER DEASON: If this is all predicate

1 leading to that, that's fine. But I'm going to ask you
2 to try to make your point as quickly as possible.

3 Q (By Mr. McWhirter) Assuming for purposes of
4 my question, Mr. Birkett, that there is a \$65 million
5 overrecovery during the summer period, am I correct that
6 that \$65 million would be refunded to the customers who
7 are your customers during the winter period?

8 A Assuming that was the case, to which obviously
9 we disagree, yes, that would be recovered along with any
10 other over- and underrecoveries, you know, in the
11 following years.

12 Q And that \$65 million, assuming that it were an
13 overrecovery, would bear interest at the then active
14 commercial paper rate?

15 A Yes, it would.

16 Q Mr. Birkett, am I correct in assuming that
17 your fuel costs that are being passed along during this
18 period, are the lowest they have been in a number of
19 periods?

20 A I'm not familiar with all of the details of
21 the fuel cost that's in there, but I know we have been
22 seeing some reductions in fuel costs.

23 Q I'll ask you this, subject to check, but it
24 looks to me like the fuel cost that you're proposing in
25 this period is probably lower than it has been any time

1 in the last ten years. Is that a fair assumption or am
2 I totally in error on that?

3 MR. CHILDS: I'm going to object again. I
4 don't see how this relates to the matters that are still
5 at issue, or how it relates to Mr. Birkett's direct
6 testimony.

7 COMMISSIONER DEASON: Mr. McWhirter.

8 MR. McWHIRTER: I will withdraw the question
9 and that's the last question I have.

10 COMMISSIONER DEASON: Staff.

11 CROSS EXAMINATION

12 BY MS. BROWN:

13 Q Mr. Birkett, you've been asked questions on
14 two of the issues that are outstanding for the
15 Commission's decision today, 10A -- or three actually,
16 10A, 10B and 10C. I just want to make it clear that
17 we're going to ask the majority of our questions on 10A,
18 but I have a couple of follow-up questions from some of
19 the cross that you have had with respect to the other
20 issues.

21 A Okay.

22 Q First of all, with respect to Issue 10B, which
23 is, is it appropriate for Florida Power and Light
24 Company to recover \$274,502 for modifications made to
25 generating units through the fuel and purchased power

1 cost recovery clause? You were asked questions about
2 Order 14546, do you remember that?

3 A Yes, I do.

4 Q I think you stated to Mr. McWhirter, or maybe
5 Mr. Howe -- Mr. McWhirter, I think, that you were
6 relying on No. 10 on Page 5 of that order?

7 A I believe that's what I said. Yes, I have the
8 order before me.

9 Q Do you? Would you turn to Page 5, please, and
10 do you see the paragraph in the middle of the page that
11 begins right after the number "4". Begins "While it
12 is."

13 A Yes, I see that.

14 Q Would you read that, please?

15 A "While it is the Commission's intent in this
16 order to establish comprehensive guidelines for the
17 treatment of fossil fuel related costs, it is recognized
18 that certain unanticipated costs may have been
19 overlooked. If any utility incurs, or will incur, a
20 fossil fuel related cost which was not addressed in this
21 order and the utility seeks to recover such costs
22 through its fuel adjustment clause, the utility should
23 present testimony justifying such recovery in an
24 appropriate fuel adjustment hearing."

25 Q That's what you're doing here, isn't it?

1 A Yes, it is.

2 Q Is it your understanding, Mr. Birkett, that
3 the methodology for calculating the interest associated
4 with over- and underrecovery was first established when
5 the fuel clause itself was established, around 1980 to
6 1981?

7 A Yes, that is my understanding.

8 Q All right. Now we'll switch to our questions
9 on Issue 10A, "Is Florida Power and Light's proposed new
10 methodology for allocating fuel costs to the various
11 customer classes appropriate?"

12 You've stated in your testimony that the
13 proposed fuel allocation methodology reflects the fact
14 that each rate class does not comprise the same
15 proportion of system kilowatt-hour sales in every hour
16 but that the proportion changes from hour to hour; is
17 that correct?

18 A Yes.

19 Q I believe you also state in your testimony
20 that Florida Power and Light's proposed allocation of
21 fuel costs results in a more appropriate allocation of
22 cost between customer classes, correct?

23 A Yes.

24 Q When you speak of allocating costs, you are
25 referring to the allocation of fuel costs, correct?

1 A Yes, I am.

2 Q You are not proposing to change the allocation
3 of production plant costs at this time?

4 A No, we are not.

5 Q You state in your testimony that Florida Power
6 and Light's fuel costs per kilowatt-hour will increase
7 and decrease as the system load increases and decreases,
8 correct?

9 A Yes. That's the result of economic dispatch.

10 Q Right. By the term "economic dispatch" you
11 are referring to the principle of calling or dispatching
12 the units that are the most economical first to serve
13 load; is that correct?

14 A Yes, it is.

15 Q And when you say most economical, you are
16 referring to the operating fuel cost associated with
17 producing kilowatt-hours and not the capital costs of
18 the generators producing those kilowatt-hours, correct?

19 A Yes. We look at just the variable cost
20 associated with just running that unit.

21 Q So the answer is yes?

22 A Yes.

23 Q Now, in your deposition, Mr. Birkett -- do you
24 have that deposition with you by any chance?

25 A No, I do not.

1 Q Okay. We only have one copy. Thank you
2 Mr. Kaufmann. (Hands document to witness.)

3 Q In that deposition, Mr. Birkett, we
4 established that there is a mix of generating units on
5 Florida Power and Light's system that is designed to
6 fulfill different needs, system needs, at different
7 times, correct? I can direct you to Page 9 of your
8 deposition, Lines 15 through 18.

9 A Yes.

10 Q Now, we made a simple comparison in the
11 deposition with respect to baseload units and peaking
12 units.

13 You said in your deposition that what are
14 commonly called baseload units are designed to operate
15 over more hours, and what are commonly called peaking
16 units are not intended to operate in the same manner; is
17 that correct?

18 A Yes, that's what I said. Although you know --
19 and I recognize I think we struggled a bit over terms
20 and ideas in the deposition, and since I think the
21 reason is that it's really an overly simplified view of
22 what happens.

23 Q Would you explain that?

24 A I guess it is not uncommon for people to think
25 that there are -- you know, baseload units have high

1 capital cost and low fuel cost relative to what are
2 called peaking units, which, you know, are thought to
3 have low capital cost and high fuel costs. Now that at
4 one point in time might have been more clear-cut, but
5 that really doesn't fit today and it really ignores
6 some, I think, important factors such as the fact that
7 fuel costs do change over time and the relative
8 relationship of fuel costs.

9 There are new technologies which really are
10 dramatically changing what we think of as baseload units
11 versus peaking units. The units we built over time, you
12 know, will depreciate and, in fact, a unit that was
13 built as a baseload unit may not function that way
14 today. Just many factors which really make that less a
15 distinction than it might have been before.

16 Q That may make it less of a distinction in the
17 future when you build new plant, correct?

18 A I think it makes it less of a distinction
19 today as well.

20 Q But you did, in your deposition, agree
21 generally that a baseload plant typically has higher
22 capital costs but the fuel costs are cheaper, did you
23 not?

24 A Yes, I did.

25 Q And you also agreed that a peaking plant costs

1 less to build but the fuel costs are higher, did you
2 not?

3 A Yes, I did.

4 Q Okay. Now back to economic dispatch for a
5 minute. Under economic dispatch, Florida Power and
6 Light would typically generally dispatch the baseload
7 unit first because it has lower fuel costs, correct?

8 A I guess that is correct, and that is the
9 definition. I mean, you're defining baseload unit by
10 talking about its economic dispatch. A unit is baseload
11 if it is dispatched first.

12 Q And it is dispatched first because it has
13 lower fuel costs, correct? Irrespective of the fact
14 that it may have had higher capital costs, correct?

15 A Yes, that's correct. We look simply at the
16 variable cost when doing the dispatching.

17 Q And that is the same principle that you apply
18 when you dispatch peaker units as well, is it not?

19 A Yes, all units are dispatched that way.

20 Q And peaker units are dispatched last because
21 they have higher fuel costs, correct?

22 A Yes. I would agree that units with higher
23 fuel cost are dispatched less. They may or may not be
24 units which were initially designed and built to be
25 peakers.

1 Q And they are dispatched last irrespective of
2 the fact that they had lower capital costs, correct?

3 A That is correct, yes.

4 Q Okay. So would it be fair to say that part of
5 the reason why there is even a need for economic
6 dispatch is because of the mix of generating units on
7 your system, baseloads and peakers and intermediate?

8 MR. CHILDS: Would you say that again, I'm
9 sorry.

10 Q Would it be fair to say that part of the
11 reason why there is even a need for economic dispatch is
12 because of the mix of generating units on Florida Power
13 and Light's system?

14 A I think I know what you're trying to say,

15 Q Well, just answer the question.

16 A The reason for economic dispatch is even
17 within one type of unit there are differences in fuel
18 costs, and we're trying to get the least expensive unit
19 on any given time. And, you know, the units you
20 dispatch first are referred to as baseload units. The
21 units that are dispatched only to serve -- or typically
22 only to serve the peaks are referred to as peaking
23 units.

24 The link is between the variable cost of the
25 units, not between the designation between baseload and

1 peaking load units; that's where I'm having the problem
2 with what you are saying, that's all.

3 Q Okay. Under Florida Power and Light's
4 proposed fuel allocation methodology, as I understand it
5 a rate class that contributes more to the peaking system
6 load periods will be assigned relatively more fuel costs
7 because Florida Power and Light is having to dispatch
8 the peaking units or the less economical units at that
9 time; is that correct?

10 A Yes. Every class is assigned costs based --
11 every class that is on in that hour will be assigned
12 costs reflecting its proportion of the load in that
13 hour.

14 Q But relatively speaking, the classes that
15 contribute more to the peak will be assigned relatively
16 more fuel costs.

17 A Yes. FPL believes that's appropriate.

18 Q Now, for a minute I want to discuss how
19 production plant costs were allocated in Florida Power
20 and Light's last full requirements rate case.

21 With the exception of certain plant costs
22 associated with the St. Lucie nuclear units, nearly all
23 of Florida Power and Light's demand-related production
24 plant costs were allocated using the 12 CP and
25 one-thirteenth average demand method; is that correct?

1 A Yes, it is.

2 Q And isn't this also the method that is
3 currently used to allocate costs to rate classes through
4 the capacity cost recovery clause?

5 A Yes, for that reason because it is the method
6 used in base rates.

7 Q Under this method, would you agree that
8 approximately 92% of the plant costs that are allocated
9 to -- are allocated to the class based on each class'
10 contribution to the 12 monthly system peaks?

11 A Yes, that's correct.

12 Q Okay. Now, we've been talking earlier about
13 different types of generating units, and what I want to
14 know is when Florida Power and Light uses the 12 CP,
15 one-thirteenth demand allocator to assign plant cost
16 responsibility to the rate classes, does it use the same
17 allocator that is supplied to peaking plants, is that
18 also applied to baseload plants?

19 A Yes. Each class is assigned responsibility
20 for all of the plants based upon their contribution to
21 our peaks.

22 Q So in essence, each rate class receives a
23 portion of Florida Power and Light's peaking plant costs
24 and a portion of the baseload plant costs regardless of
25 the fact that some classes contribute relatively more to

1 the higher load periods than to the lower load periods,
2 correct?

3 MR. CHILDS: Wait a minute. That's a long
4 one.

5 MS. BROWN: Do you want me to break it up?

6 MR. CHILDS: Yeah. I'm not sure whether it's
7 an assumption or it's a premise in the first part of
8 that question.

9 Q (By Ms. Brown) In essence, does each rate
10 class receive a portion of Florida Power and Light's
11 peaking plant costs and a portion of baseload plant
12 costs regardless of whether they contribute relatively
13 more to higher load periods?

14 A I don't know if I can answer that yes or no.
15 What I will say is we only look at the 12 monthly peaks
16 when allocating those plant costs, so they are allocated
17 responsibility based upon their contribution to the
18 peaks that cause the costs, and we don't take into
19 account what they might do in the other hours for the
20 allocation of the capacity cost.

21 Q But you have agreed that you use the same
22 allocator --

23 A For all types of plant, subject to the
24 exception you discussed earlier.

25 Q Right. So unlike this proposed fuel

1 allocation method that you're proposing today, which
2 attempts to allocate fuel costs based on the class'
3 contribution to the system load in any given hour, the
4 method used to allocate generating unit costs does not
5 attempt to make the allocation on a hour-by-hour basis;
6 is that correct?

7 A Yes, properly so. I think the two methods are
8 consistent.

9 Q Today, currently, all customers pay an average
10 fuel factor; is that correct?

11 A Yes, all kilowatt-hours are treated the same
12 regardless of when they are used.

13 MS. BROWN: Could we have just one second,
14 Commissioner, then I think we'll be about done.

15 COMMISSIONER DEASON: Why don't we go ahead
16 and take ten minutes.

17 MS. BROWN: Thank you.

18 (Brief recess.)

19 - - - - -

20 COMMISSIONER DEASON: Call the hearing back to
21 order. Ms. Brown.

22 MS. BROWN: We have no further questions for
23 Mr. Birkett.

24 COMMISSIONER DEASON: Very well.
25 Commissioners, questions? Redirect.

1 MR. CHILDS: Yes, I have some.

2 REDIRECT EXAMINATION

3 BY MR. CHILDS:

4 Q Mr. Birkett, do you have a copy of the
5 Prehearing Order before you? I want to refer to Issue
6 10B, which is on Page 14.

7 A I have a copy of that and have that in front
8 of me now.

9 Q Would you look to the statement of the issue
10 on the second line where the number \$2,754,502 is
11 identified?

12 A Yes.

13 Q Is that an estimated number in that the total
14 costs are not yet final?

15 A Yes, it is.

16 Q You were asked a question by Staff to the
17 effect of whether fuel costs increase and decrease as
18 load increases and decrease. Do you recall that
19 question?

20 A Yes, I do.

21 Q And I believe you answered yes. Do you recall
22 answering yes?

23 A Yes.

24 Q Do you know whether the average cost of fuel
25 increases as load increases?

1 A Yes, that would follow, that as you bring more
2 expensive units on line, because the load is going up,
3 that those more expensive units would raise the average
4 fuel cost in that hour.

5 Q So then the total cost goes up as load goes
6 up, the average goes up, and does the marginal cost of
7 fuel go up as well, if you know?

8 A Yes, it does.

9 Q All right. As to the discussion about whether
10 baseload units have higher capital costs and lower fuel
11 costs with regard to peaking units, you were asked a
12 number of questions in that area, do you recall them?

13 A Yes, sir, I do.

14 Q Over time peaking units and baseload units are
15 depreciated, are they not?

16 A Yes, they are.

17 Q After some period of time it is possible for
18 the remaining net investment in a baseload unit to be
19 substantially less than it was when it was first
20 installed; is that correct?

21 A Yes, that is correct.

22 Q And when we talk about a baseload unit having
23 a higher capital cost than a peaking unit, is that true
24 throughout the life of the unit?

25 A No, it is not because of what you referred to

1 with the depreciation.

2 Q You were asked questions about the allocation
3 of capacity costs to customer classes. Do you know how
4 nonfuel O&M costs for generating units are allocated to
5 customer classes?

6 A Are you referring to base rates?

7 Q Yes, base rates.

8 A Yes. Using the methodology approved by the
9 Commission they are allocated to each class on an
10 average basis just as fuel is now. And not only the
11 time of use, unfortunately, but also whether they are
12 coming from baseload or peaking units.

13 Q Okay. You were asked a question by the Staff
14 of whether you would agree that 92% of the plant costs
15 were allocated to customer classes based upon the
16 customer class contribution to the 12 monthly peaks. Do
17 you recall that?

18 A Yes, I do.

19 Q Would it be correct then when you answered yes
20 that you were talking about the capital cost as opposed
21 to the nonfuel O&M cost?

22 A Yes, that's correct.

23 Q Now, as to the allocation of the capital cost,
24 each customer class that has demand at time of the peak
25 which is used to measure allocation, is allocated

1 responsibility in accordance with its contribution to
2 the peak?

3 A Yes, that's correct.

4 Q That's a concept that this Commission has used
5 for years, is it not?

6 A Yes, it has.

7 Q All right. Now, when that cost is allocated
8 to each customer class, is it correct to conclude that
9 it is an allocation of the costs of each and every
10 generating unit that the Company has operating at that
11 time, whether peak or baseload?

12 A Yes, to the extent it's really just an
13 allocation of the total cost, so, you know, each unit
14 isn't individually allocated, we just take the total
15 cost and allocate it to the classes based upon their
16 peak contribution.

17 Q Okay. But the allocation is in proportion to
18 the class contribution to peak; is that correct?

19 A Yes, based on the fact that it is the peaks
20 that cause us to build the plants in the first place.

21 Q So hypothetically if a class contributed to
22 65% of the peak demand, then that class would be
23 allocated 65% of the total capital cost for production
24 plant?

25 A Yes, properly so.

1 Q Okay. And your total fuel cost is higher
2 during times of peak that we just covered?

3 A Yes.

4 Q And yet currently the fuel cost is allocated
5 under the fuel adjustment procedure on the basis of
6 average; is that right?

7 A Yes. That is the problem we had with the
8 current methodology, that it ignores the fact that fuel
9 costs do differ from one hour to the next, and treats
10 all hour, all kilowatt-hours the same regardless of the
11 cost and the individual hour. And I think that is
12 contrary to the way that costs are incurred, and in some
13 respects it might even be considered contrary to what
14 the Commission, you know, has done in the past with
15 looking at the PURPA time-of-use standards in that it
16 doesn't -- the methodology, while it was simple, doesn't
17 properly reflect the way the costs are incurred.

18 Each class is not equally responsible for
19 FPL's fuel costs in relationship to its percentage of
20 the sales over the six-month period. A class could be
21 70% of the total sales for the period, but contribute
22 much more to our peak hours than they do to the off-peak
23 periods, and it's not appropriate, we believe, to charge
24 them just that flat percentage of all fuel costs, when,
25 in fact, they cause us to incur more of the more

1 expensive fuel costs than do other classes.

2 Q Under the methodology for allocating fuel
3 costs that you are proposing, does that methodology
4 include recognition of both peak hours and off-peak
5 hours?

6 A Yes. The methodology includes recognition of
7 every hour. It looks at each class' contribution and
8 its propositional contribution to every hour during the
9 period, and allocates costs according to -- as a
10 proportionate contribution to each hour, so it properly
11 reflects classes that contribute more to the high load
12 hours and less to the low load hours.

13 Q And is it true that it does the reverse of
14 that, too? In other words, that if a class contributes
15 relatively more to the off-peak consumption than to the
16 on-peak consumption, then that class is to be charged
17 less for fuel?

18 A Yes. Those classes as well, and in particular
19 the clear example to me are the streetlighting classes.
20 They contribute far more to the least expensive hours on
21 the system, the very late night hours, than they do to,
22 you know -- the daytime hours, yet they are allocated
23 based on an average on-peak/off-peak as well. I think
24 the methodology -- that's the most striking example, I
25 guess, in what we've got in that the methodology

1 reflects that the streetlights are on primarily during
2 the lowest cost period, and as a result they will see a
3 reduction from current fuel factors reflecting that.

4 Q Do you know whether the method that you are
5 proposing for allocating fuel costs is inconsistent with
6 the way generating plant costs are allocated to customer
7 classes?

8 A No. As I believe I told Ms. Brown, I think
9 they are exactly consistent.

10 Q All right.

11 A Both reflect the causation of the cost, the
12 baseload costs are allocated based on each customer
13 class' contribution to the peak loads that cause us to
14 build the plants. Whereas our proposal for fuel cost
15 allocation looks at each class' contribution to each
16 hour's cost.

17 Now, we build baseload -- excuse me, we build
18 plants looking at peak loads, so it's appropriate to
19 allocate those costs that way. We burn fuel based on
20 the load in each hour, so it's more appropriate to look
21 at the load in each hour when allocating the fuel cost.

22 MR. CHILDS: All right. That's all I have.

23 MR. McWHIRTER: Mr. Chairman, this is a
24 peculiar request, but in a sense, with respect to this
25 issue, I'm on the same side as Florida Power and Light,

1 and I'd like to have the opportunity to ask something
2 that would be akin to a redirect, as opposed to standard
3 cross examination, with respect to this one issue, 10A,
4 and I've just got a couple of questions.

5 MS. BROWN: Mr. Chairman, this is unusual and
6 Staff objects to it.

7 COMMISSIONER DEASON: I think it is unusual
8 and I'm going to recognize the objection and deny you
9 that opportunity.

10 MR. McWHIRTER: The question relates to
11 questions that were raised by the Staff that did not
12 come out on his direct. So I'm essentially foreclosed
13 from asking the question.

14 COMMISSIONER DEASON: That's correct. You are
15 foreclosed. You could have presented your own witness
16 on this issue if you wished, and you then could have
17 engaged in redirect of your own witness. I'm not going
18 to allow you to engage in redirect of this witness.

19 Exhibits.

20 MR. CHILDS: Mr. Commissioner, I would move --
21 I either can move into evidence the exhibits that this
22 witness is sponsoring on direct or I can wait until we
23 get finished with direct and rebuttal and move them all
24 at one time.

25 COMMISSIONER DEASON: I would like to go ahead

1 and take care of this witness' exhibits that have not
2 already been admitted.

3 MR. CHILDS: The exhibits this witness is
4 sponsoring on direct, I believe, are BTB-5 and BTB-6.
5 Let me get the code here.

6 COMMISSIONER DEASON: I believe that's
7 Exhibits 12 and 13.

8 MR. CHILDS: I would move those into evidence.

9 COMMISSIONER DEASON: Without objection,
10 hearing none, Exhibits 12 and 13 are admitted. Could
11 have man I believe you have an exhibit you wish to move.

12 (Exhibit Nos. 12 and 13 received in evidence.)

13 COMMISSIONER DEASON: Mr. Kaufman, I believe
14 you have an exhibit that you wish to move; is that
15 correct?

16 MR. KAUFMANN: Yes. That would be Exhibit 39.

17 COMMISSIONER DEASON: Hearing no objection,
18 Exhibit 39 is also admitted.

19 (Exhibit No. 39 received in evidence.)

20 COMMISSIONER DEASON: And I believe with that
21 all of the -- let me ask you this, Mr. Childs, I have
22 here that Exhibit 18 is being sponsored by Mr. Birkett
23 as well. Is that correct?

24 MR. CHILDS: That is part of his rebuttal.

25 COMMISSIONER DEASON: That's rebuttal. We'll

1 wait on that until the appropriate time.

2 MS. BROWN: Commissioner, it's probably not
3 necessary but Staff would ask the Commission to take
4 official notice of Order 14546 that we passed out
5 earlier.

6 COMMISSIONER DEASON: Yes. The Commission
7 will take official notice of its own orders.

8 Thank you, Mr. Birkett.

9 MR. CHILDS: I call Mr. Silva.

10 COMMISSIONER DEASON: While Mr. Silva is
11 coming to the stand, let me announce we will be taking a
12 lunch break today. We will be breaking at approximately
13 11:30 and we will reconvene at 1:00.

14 - - - - -

15 RENE SILVA.

16 was called as a witness on behalf of Florida Power and
17 Light Company and, having been duly sworn, testified as
18 follows:

19 DIRECT EXAMINATION

20 CROSS EXAMINATION

21 BY MR. CHILDS:

22 Q Would you state your name and address, please?

23 A My name is Rene Silva. My address is 9250
24 West Flagler Street, Miami, Florida 33174.

25 Q By whom are you employed and in what capacity?

1 A By Florida Power and Light Company as Manager
2 of Forcasting and Regulatory Response in the Power
3 Generation Business Unit.

4 Q Mr. Silva, do you have before you a document
5 entitled "Testimony of Rene Silva, Docket 950001-EI,
6 January 17, 1995"?

7 A Yes.

8 Q Was this prepared by you as your direct
9 testimony for this proceeding?

10 A Yes.

11 Q And were the documents you are sponsoring
12 prepared by you or under your direction, supervision or
13 control?

14 A Yes.

15 Q Do you have any changes or corrections to make
16 to the testimony or the documents you are sponsoring?

17 A No.

18 Q Do you adopt this as your testimony?

19 A Yes.

20 MR. CHILDS: Mr. Commissioner, I'd ask that
21 the prepared testimony of Mr. Silva be inserted into the
22 record as though read.

23 COMMISSIONER DEASON: Without objection. It
24 will be so inserted.

25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

FLORIDA POWER & LIGHT COMPANY

TESTIMONY OF R. SILVA

DOCKET NO. 940001-EI

NOVEMBER 14, 1994

- 1 **Q. Please state your name and business address.**
- 2 A. My name is Rene Silva and my business address is 9250 W. Flagler Street,
- 3 Miami, Florida 33174.
- 4
- 5 **Q. Mr. Silva, would you please state your present position with Florida Power**
- 6 **and Light Company (FPL).**
- 7 A. I am the Manager of Forecasting and Regulatory Response for the Power
- 8 Generation Business Unit of FPL.
- 9
- 10 **Q. Mr. Silva, have you previously had testimony presented in this docket?**
- 11 A. Yes, I have.
- 12
- 13 **Q. Mr. Silva, what is the purpose of your testimony?**
- 14 A. The purpose of my testimony is to present actual performance results for
- 15 Equivalent Availability Factor (EAF) and Average Net Operating Heat Rate
- 16 (ANOHR) for the twenty five (25) units used to determine the Generating
- 17 Performance Incentive Factor (GPIF) and to compare these actual results to the
- 18 targets that were approved in Commission Order No. PSC-94-0390-FOF-EI,
- 19 issued April 4, 1994, for the period April, 1994 through September, 1994. On the

266

1 basis of this comparison, I have calculated an incentive amount for the period.

2

3 Q. Have you prepared, or caused to have prepared under your direction,

4 supervision or control, an exhibit in this proceeding?

5 A. Yes, I have. It consists of one document. Page 1 of that document is an index to

6 the contents of the document.

7

8 Q. What is the incentive amount you have calculated for the period April, 1994

9 through September, 1994?

10 A. I have calculated a GPIF reward of \$3,065,156.

11

12 Q. Will you please explain how the reward amount is calculated?

13 A. The steps involved in making this calculation are contained in Document No. 1.

14 Page 2 of Document No. 1 is the GPIF Reward/Penalty Table (Actual) and shows

15 an overall GPIF performance point value of +3.7214 which corresponds to a GPIF

16 reward of \$3,065,156. Page 3 is the calculation of the maximum allowed incentive

17 dollars. The calculation of the system actual GPIF performance is shown on page

18 4. This page lists each unit, the performance indicators (ANOHR and EAF), the

19 weighing factors and the associated GPIF points.

20

21 Page 5 is the actual EAF and adjustments summary. This page lists each of the

22 twenty five (25) GPIF units, the actual outage factors and the actual EAF in

23 Columns 1 through 5. Column 6 is the adjustment for planned outage variation,

24 which is shown on page 6. Column 7 is the adjusted actual EAF and Column 8

25 is the target EAF. Column 9 contains the Generating Performance Incentive

1 Points for availability as determined from the tables submitted and approved by
2 the Commission prior to the start of the period. These tables are shown on pages
3 8 through 32.

4
5
6 Page 7 shows the adjustments to ANOHR. For each of the twenty five (25) GPIF
7 units, it shows the target heat rate formula, the actual Net Output Factor (NOF)
8 and the actual ANOHR in Columns 1 through 4. Since heat rate varies with NOF,
9 it is necessary to determine both the target and actual heat rates at the same NOF.
10 This adjustment is to provide a common basis for comparison purposes and is
11 shown numerically for each GPIF unit in Columns 5 through 8. Column 9
12 contains the Generating Performance Incentive Points that have been determined
13 from the table submitted for each unit and approved by the Commission. These
14 same tables are shown on pages 8 through 32.

15
16 **Q. Are there any changes to the targets approved by through Commission**
17 **Order No. PSC-94-0390-FOF-EI ?**

18 **A.** No, the approved targets have not changed. However, the actual availability
19 (EAF) of St. Lucie Unit No. 1, used in the calculation of the GPIF, was adjusted
20 to compensate for the loss in availability resulting from an externally caused
21 natural event during the month of June, 1994.

22
23 **Q. Can you describe this externally caused natural event ?**

24 **A.** Yes. On June 6, 1994 a severe thunderstorm accompanied by high wind activity
25 struck the St. Lucie Nuclear Plant site. The high winds blew a piece of metal into

1 the transformer of Unit No. 1 causing a unit reactor trip . As a result, St. Lucie
2 Unit 1 experienced a full forced outage. Since the event was an unpredictable,
3 natural disturbance, neither FPL nor the customer should be penalized for the
4 resulting loss in availability . Therefore, the loss in availability directly caused by
5 the extreme weather will be excluded from the GPIF calculation by adjusting the
6 actual equivalent availability (EAF) of St. Lucie Unit No. 1 for the April, 1994
7 through September, 1994 period. In addition, the occurrence will be excluded
8 from calculations performed to determine future availability targets for St Lucie
9 Unit No. 1. This approach is consistent with the GPIF Operating Manual, section
10 4.3.

11
12 **Q. How was the actual EAF of St. Lucie Unit No. 1 affected by the severe**
13 **storm?**

14 **A.** The full forced outage hours due directly to the severe storm were removed from
15 the total equivalent forced outage hours for the April, 1994 through September,
16 1994 period. The period hours were also reduced by the number of full forced
17 outage hours. The Adjusted Actual EAF was recalculated with the adjusted outage
18 hours and period hours. The adjustment to St. Lucie Unit No. 1 is directly related
19 to the impact of the severe storm on that unit. Page 6 of 32 in Document 1 shows
20 the final adjusted EAF for St. Lucie Unit No. 1. The equivalent forced outage
21 hours were reduced by 118.4 equivalent hours from 248.2 equivalent hours to
22 129.8 equivalent hours. The period hours were reduced from 4391 hours to 4273
23 hours. The severe storm adjustment changed the actual EAF from 92.3% to
24 94.8%. The normal adjustment for differences between target and actual planned
25 outage hours was not affected because no planned outages had neither been

1 scheduled nor performed on St. Lucie Unit No. 1 during the April, 1994 through
2 September, 1994 period.

3 This methodology is consistent with that used for prior natural disturbances and
4 disasters such as Hurricane Andrew.

5 **Q. Mr. Silva, will you explain the primary reason or reasons why FPL will be**
6 **rewarded under the GPIF for the period April, 1994 through September,**
7 **1994 ?**

8 **A. Yes. Improvements in the availability of FPL's nuclear generating units**
9 **contributed to the majority of the GPIF reward. The improvement in the nuclear**
10 **unit availability at Turkey Point Units No. 3 and No. 4 ,and St. Lucie Units No.**
11 **1 and No. 2 contributed significantly to the GPIF reward. Additionally,**
12 **availability performance at the St. Johns Units 1 and 2 and at Scherer Unit 4 also**
13 **contributed to FPL's reward. More detail is provided below.**

14

15 **Q. Mr. Silva, would you please summarize the performance of FPL's nuclear**
16 **units availability?**

17 **A. Turkey Point Unit 3 operated at an adjusted actual EAF of 68.6% as compared to**
18 **its target of 67.0%. This will result in a + 5.33 point reward which corresponds**
19 **to a GPIF reward of \$ 311,672.**

20

21 **Turkey Point Unit 4 operated at an adjusted actual EAF of 96.0% as compared**
22 **to its target of 93.6%. This will result in a + 8.00 point reward which corresponds**
23 **to a GPIF reward of \$649,700.**

24

25 **St. Lucie Unit 1 operated at an adjusted actual EAF of 94.8% as compared to its**

1 target of 93.4%. This will result in a +4.67 point reward which corresponds to a
2 GPIF reward of \$ 488,099.

3

4 St. Lucie Unit 2 operated at an adjusted actual EAF of 82.1% as compared to its
5 target of 70.3%. This will result in a +10.00 point reward which corresponds to
6 a GPIF reward of \$1,179,477.

7

8 The total GPIF reward for the nuclear units' availability performance is
9 \$2,628,948.

10

11 **Q. Mr. Silva, please summarize the nuclear units performance as it relates to**
12 **the ANOHR of the units.**

13 **A. Turkey Point nuclear unit 3 operated with an adjusted actual ANOHR of 11131**
14 **BTU/KWH which was poorer than projected by 45 BTU/KWH. This ANOHR**
15 **is within \pm 75 BTU/KWH of the projected target, therefore there is no GPIF**
16 **reward or penalty.**

17

18 Turkey Point nuclear unit 4 operated with an adjusted actual ANOHR of 11220
19 BTU/KWH which was poorer than projected by 4 BTU/KWH. This ANOHR is
20 within \pm 75 BTU/KWH of the projected target, therefore there is no GPIF reward
21 or penalty.

22

23 St. Lucie nuclear unit 1 operated with an adjusted actual ANOHR of 10942
24 BTU/KWH which was poorer than projected by 96 BTU/KWH. This will result
25 in a -10.00 point penalty which corresponds to a GPIF penalty of (\$235,566).

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

St. Lucie nuclear unit 2 operated with an adjusted actual ANOHR of 10902 BTU/KWH which was poorer than projected by 106 BTU/KWH. This will result in a -3.41 point penalty which corresponds to a GPIF penalty of (\$58,891).

The total penalty for the nuclear units' heat rate performance is (\$294,457).

Q. Mr. Silva, what will the total GPIF incentive reward be for the FPL nuclear units for EAF and ANOHR?

A. \$2,334,491.

Q. Mr. Silva, would you please summarize the performance of FPL's fossil units?

A. Fourteen (14) of the units performed better than their availability targets, while the remaining seven (7) performed poorer than their targets. The combined fossil unit availability performance will result in a GPIF reward of \$493,947.

Five (5) of the units operated with ANOHR's that were better than projected and seven (7) units operated with ANOHR's that were poorer than projected. The remaining nine (9) units were within the ± 75 BTU/KWH dead band and they will receive no incentive reward or penalty. The combined fossil unit heat rate performance will result in a GPIF reward of \$236,719.

The performance of the twenty one (21) fossil units included in the GPIF for the period of September, 1994 through April, 1994 will receive a total combined GPIF reward of \$730,666 for EAF and ANOHR.

- 1 Q. Mr. Silva, does this conclude your testimony?
- 2 A. Yes, it does.

BEFORE THE PUBLIC SERVICE COMMISSION
FLORIDA POWER & LIGHT COMPANY
TESTIMONY OF R. SILVA
DOCKET NO. 950001-EI
JANUARY 17, 1995

- 1 Q. Please state your name and business address.
- 2 A. My name is Rene Silva and my business address is 9250 W. Flagler Street,
3 Miami, Florida 33174.
4
- 5 Q. Mr. Silva, would you please state your present position with Florida
6 Power and Light Company (FPL).
- 7 A. I am the Manager of Forecasting and Regulatory Response for the Power
8 Generation Business Unit of FPL.
9
- 10 Q. Mr. Silva, have you previously had testimony presented in this docket?
- 11 A. Yes, I have.
12
- 13 Q. Mr. Silva, what is the purpose of your testimony?
- 14 A. The purpose of my testimony is to present the target unit average net
15 operating heat rates and target unit equivalent availabilities for the period
16 April, 1995 through September, 1995, for use in determining the Generating
17 Performance Incentive Factor (GPIF). The improvement and degradation
18 range for each performance indicator is also presented in this testimony.
19

- 1 Q. Mr. Silva could you please summarize what the FPL system targets are
2 for Equivalent Availability Factor (EAF) and Average Net Operating
3 Heat Rate (ANOHR).
- 4 A. FPL projects a weighted system equivalent planned outage factor of 2.0%
5 and a weighted system equivalent unplanned outage factor of 8.5% which
6 yield a weighted system equivalent availability of 89.6%. FPL also projects
7 a weighted system average net operating heat rate of 9674 BTU/KWH. As
8 discussed in more detail later in this testimony, these targets represent fair
9 and reasonable values when compared to historical data. I therefore ask that
10 the targets for these performance indicators and the respective
11 improvement/degradation ranges in my testimony be approved by the
12 Commission for FPL.
13
- 14 Q. Have you prepared, or caused to have prepared under your direction,
15 supervision or control, an exhibit in this proceeding?
- 16 A. Yes, I have. It consists of one document. The first page of this document is
17 an index to the contents of the document. All other pages are numbered
18 according to the latest revisions of the GPIF Manual as approved by the
19 Commission.
20
- 21 Q. Have you established target levels of performance for the units to be
22 considered in establishing the GPIF for FPL?
- 23 A. Yes, I have. Document No. 1, pages 6 and 7 contain the information
24 summarizing the targets and ranges for unit equivalent availability and
25 average net operating heat rates for the twenty (20) generating units which

1 FPL proposes to have considered. These sheets were prepared in accordance
2 with the latest revisions of the GPIF Manual, except that, for consistency
3 with previous GPIF filings, it is necessary to divide the format of Sheet 3.505
4 of the GPIF Manual into two sheets. All of these targets have been derived
5 utilizing methodologies as adopted in Section 4, Subsection 2.3 of the GPIF
6 Manual.

7
8 **Q. Please summarize FPL's methodology for determining equivalent**
9 **availability targets?**

10 **A.** The GPIF Manual requires that the equivalent availability target for each unit
11 be determined as the difference between 100% and the sum of the Planned
12 Outage Factor (POF) and the Unplanned Outage Factor (UOF). The POF
13 for each unit is determined by the length of the planned outage during the
14 projected period. The GPIF Manual also requires that the sum of the most
15 recent twelve month ending average forced outage factor (FOF) and
16 maintenance outage factor (MOF) be used as the starting value for the
17 determination of the target unplanned outage factor (UOF). The UOF is then
18 adjusted to reflect recent monthly performance and known modifications or
19 changes in equipment.

20
21 For most units in the GPIF this adjustment is usually done for units which
22 had or are forecast to have planned outages. When a unit is in a planned
23 outage state the unit cannot incur an unplanned outage. For this reason,
24 when historical data, which contains a planned outage, is used for developing
25 targets, the UOF will be lower than if the unit had operated the entire period.

1 To account for this, the historical UOF is increased in proportion to the
2 planned outage duration for that period. Similarly, if a unit is forecast to
3 have a planned outage in the projection period the adjusted historical UOF
4 will be higher than it should because it will not be exposed to unplanned
5 outages for the entire period. In this case the UOF is reduced in proportion to
6 the forecast planned outage duration.

7
8 Q. Mr. Silva, were the EAF targets for the GPIF units determined using the
9 methodology as described in the GPIF Operating Manual?

10 A. Yes.

11

12 Q. How did you select the units to be considered when establishing the GPIF
13 for FPL?

14 A. The twenty (20) units which FPL proposes to use represent the top 81.06%
15 of the forecast system net generation for the April, 1995 through September,
16 1995 period. These units were selected in accordance with the GPIF Manual
17 Section 3.1 using the estimated net generation for each unit taken from the
18 production costing simulation program, POWRSYM, which forms the basis
19 for the projected levelized fuel cost recovery factor for the period.

20

21 Q. Mr. Silva, from the heat rate targets and equivalent availability range
22 projections, do FPL's generation performance targets represent a
23 reasonable level of efficiency?

24 A. Yes. To fully appreciate why these targets are reasonable, and in some cases
25 ambitious, it would be necessary to discuss the development of both the heat

1 rate and availability targets for each of the nineteen units in the GPIF.
2 However, a less rigorous approach of comparing weighted system values of
3 these targets to actual values for prior periods will provide a valuable insight
4 into the appropriateness of the targets.

5

6 Q. Does this conclude your testimony?

7 A. Yes, it does.

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

FLORIDA POWER & LIGHT COMPANY

TESTIMONY OF RENE SILVA

DOCKET NO. 950001-EI

January 17, 1995

1 Q Please state your name and address.

2 A. My name is Rene Silva. My business address is
3 9250 W. Flagler Street, Miami, Florida 33174.

4

5 Q. By whom are you employed and what is your
6 position?

7 A. I am employed by Florida Power & Light Company
8 (FPL) as Manager of Forecasting and Regulatory
9 Response in the Power Generation Business Unit.

10

11 Q. Have you previously testified in this docket?

12 A. Yes.

13

14 Q. What is the purpose of your testimony?

15 A. The purpose of my testimony is to present and
16 explain FPL's projections for (1) dispatch costs
17 of heavy fuel oil, light fuel oil, coal and
18 natural gas, (2) availability of natural gas to
19 FPL, (3) generating unit heat rates and

1 availabilities, and (4) quantities and costs of
2 interchange and other power transactions. These
3 projected values were used as input values to
4 POWRSYM in the calculation of the proposed fuel
5 cost recovery factor for the period April
6 through September, 1995. In addition, my
7 testimony presents and explains costs, included
8 in the projected Fuel Cost Recovery Factor,
9 associated with equipment modifications to some
10 of FPL's generating units, necessary to allow
11 these units to burn a more economic grade of
12 residual fuel oil and thereby achieve
13 significant fuel cost savings for its customers.

14

15 **Q. Have you prepared or caused to be prepared under**
16 **your supervision, direction and control an**
17 **Exhibit in this proceeding?**

18 A. Yes, I have. It consists of pages 1 through 8
19 of Appendix I of this filing.

20

21 **Q. What are the key factors that could affect the**
22 **price for residual fuel oil during the April**
23 **through September, 1995 period?**

24 A. The key factors are (1) demand for crude oil and
25 petroleum products, (2) non-OPEC crude oil

1 supply, (3) the extent to which OPEC production
2 matches actual demand for OPEC crude oil, and
3 (4) the relationship between residual fuel oil
4 and crude oil.

5
6 In general, world demand for crude oil and
7 petroleum products is projected to increase
8 moderately during 1995, driven by the continued
9 recovery in Western Europe and Japan, plus the
10 rapid economic growth in other countries in the
11 Pacific Rim.

12
13 On the supply side, total non-OPEC crude oil
14 supply is projected to increase slightly during
15 1995 due to high levels of production in the
16 North Sea and Colombia.

17
18 Regarding OPEC crude oil production, it is
19 projected that in 1995 OPEC production will
20 effectively match demand for OPEC crude oil.

21
22 It is projected that these factors will cause
23 crude oil prices, and consequently heavy fuel
24 oil prices, to increase moderately during 1995.

25

1 Q. What is the projected relationship between heavy
2 fuel oil and crude oil prices during the April
3 through September, 1995 period?

4 A. Heavy fuel oil prices on the U. S. Gulf Coast
5 are projected to be approximately 74% of the
6 price of West Texas Intermediate (WTI) crude
7 oil.

8
9 Q. Please provide FPL's projection for the dispatch
10 cost of heavy fuel oil for the April through
11 September, 1995 period based on FPL's evaluation
12 of the key factors discussed above.

13 A. FPL's projection for the dispatch cost of heavy
14 fuel oil is provided on page 3 of Appendix I in
15 dollars per barrel at each of the oil-fired
16 plants. We project that during this period the
17 dispatch cost of heavy fuel oil will range from
18 \$12.67 to \$14.92 per barrel for 2.5% sulfur
19 grade fuel oil, \$12.95 to \$15.80 per barrel for
20 2.0% sulfur grade fuel oil, \$13.86 to \$16.68 per
21 barrel for 1.0% sulfur grade fuel oil, and from
22 \$15.09 to \$17.51 per barrel for 0.7% sulfur
23 grade fuel oil, approximately, (depending on the
24 month and the delivery location).

25

- 1 Q. What are the key factors that could affect the
2 price of light fuel oil?
- 3 A. The key factors that affect the price of light
4 fuel oil are similar to those described above
5 for residual fuel oil. Therefore, in general
6 the market price of light fuel oil is projected
7 to increase moderately during 1995.
8
- 9 Q. Please provide FPL's projection for the dispatch
10 cost of light fuel oil for the period from April
11 through September, 1995 based on FPL's
12 evaluation of the key factors discussed above.
- 13 A. FPL's projection for the dispatch cost of light
14 oil for each of the combustion turbine and
15 combined cycle plants is shown on page 4 of
16 Appendix I. We project that during this period
17 the dispatch cost of light fuel oil will range
18 from \$20.61 per barrel to \$25.10 per barrel for
19 0.5% sulfur grade light fuel oil and from \$20.62
20 per barrel to \$26.48 per barrel for 0.3% sulfur
21 grade light fuel oil, approximately, (depending
22 on the month and delivery location).
23
- 24 Q. What is the basis for FPL's projections of the
25 dispatch cost of coal at the St. Johns River

1 **Power Park (SJRPP)?**

2 A. The projected dispatch cost of coal at SJRPP is
3 based on FPL's price projection of spot coal
4 delivered to SJRPP.

5

6 Although about 77% of the coal purchased for
7 SJRPP during the period will be under the terms
8 of the three long-term coal supply contracts,
9 since annual coal volumes delivered under these
10 contracts are fixed on October 1st of the
11 previous year, they do not affect the daily
12 dispatch decision. The dispatch price of coal
13 for SJRPP is based on the variable component of
14 the coal cost, the projected spot coal price.
15 About 23% of coal purchased for SJRPP for the
16 period will be spot coal.

17

18 **Q. Please provide FPL's projection for the dispatch**
19 **cost of coal for SJRPP for the April through**
20 **September, 1995 period.**

21 A. FPL's projected dispatch cost of coal at SJRPP,
22 shown on page 5 of Appendix I, is approximately
23 \$1.37 per million BTU, delivered to SJRPP.

24

25 **Q. What is the basis for FPL's projections of the**

1 **dispatch cost of coal at Scherer Unit 4 for the**
2 **April through September, 1995 period?**

3 A. FPL's projected dispatch cost of coal at Scherer
4 Unit 4 for the first two months of the period,
5 is set equal to the projected monthly average
6 cost of coal delivered to the Scherer Plant. For
7 the last four months of the period, the dispatch
8 cost is set equal to the projected monthly spot
9 price of coal, delivered to the Scherer Plant,
10 since by June 1, 1995 FPL will have the right to
11 dispatch the Unit 4, following the final closing
12 on the acquisition of Scherer Unit 4.
13 Approximately 79% of the coal purchased during
14 the period is projected to be spot coal from the
15 Powder River Basin. The balance will be Eastern
16 coal delivered under existing contracts.

17
18 **Q. Please provide FPL's projection for the dispatch**
19 **cost of coal for Scherer Unit 4 during the April**
20 **through September, 1995 period.**

21 A. FPL's projected dispatch cost of coal at Scherer
22 Unit 4, shown on page 5 of Appendix I, is \$1.70
23 per million BTU for April and May, and \$1.48 per
24 million BTU, for the last four months of the
25 period.

1 Q. What are the factors that affect natural gas
2 prices during the April through September, 1995
3 period?

4 A. The key factors are (1) domestic natural gas
5 demand and supply, (2) foreign natural gas
6 imports and (3) heavy fuel oil prices.

7
8 In general, domestic demand for natural gas is
9 projected to increase moderately during 1995 due
10 primarily to increased usage for electric
11 generation. On the supply side, U.S. production
12 of natural gas, storage availability and
13 Canadian imports are also projected to increase
14 moderately. As indicated previously, heavy fuel
15 oil prices are projected to be somewhat higher.

16
17 It is projected that these factors will result
18 in 1995 average natural gas prices remaining
19 essentially the same as 1994 average prices.

20
21 Q. What are the factors that affect the
22 availability of natural gas to FPL during the
23 April through September, 1995 period?

24 A. The key factors are (1) the projected capacity
25 of natural gas transportation facilities into

1 Florida and (2) the projected natural gas demand
2 in the State of Florida.

3
4 The capacity of natural gas transportation
5 facilities into the State of Florida is
6 projected to be 1,455,000 million BTU per day
7 during the April through September, 1995 period.
8 FPL's total firm transportation capacity will
9 range from 480,000 million BTU per day to
10 630,000 million BTU per day.

11
12 Total demand for natural gas in the State during
13 the period is projected to be between 1,405,000
14 million BTU per day and 1,305,000 million BTU
15 per day, or from 50,000 to 150,000 million BTU
16 per day below the pipeline's maximum capacity.
17 This would make it possible for FPL to acquire
18 additional gas.

19
20 **Q. Please provide FPL's projections for natural gas**
21 **unit costs and availability to FPL for the April**
22 **through September, 1995 period based on FPL's**
23 **evaluation of these factors.**

24 **A. FPL's projections of delivered natural gas unit**
25 **costs and availability are provided on page 6 of**

1 Appendix I. We project that during this period
2 the system-weighted-average total cost of
3 natural gas to the FPL system will range from
4 \$2.31 to \$2.78 per million BTU and the average
5 total availability of natural gas to FPL will
6 range from 630,000 to 680,000 million BTU per
7 day.

8

9 Q. Please describe how you have developed the
10 projected unit Average Net Operating Heat Rates
11 shown on Schedule E4 of Appendix II.

12 A. The projected Average Net Operating Heat Rates
13 were developed using the actual monthly Average
14 Net Operating Heat Rates and the corresponding
15 Net Output Factors from the previous three
16 years' April-through-September periods. The
17 standard least squares regression method was
18 applied to the three years' data to derive a
19 first order Average Net Operating Heat Rate
20 equation.

21

22 An efficiency factor, or heat rate multiplier,
23 was then calculated for each unit. The
24 efficiency factor represents the difference
25 between the unit's measured heat rate and the

1 heat rate projected by the Average Net Operating
2 Heat Rate equation. The most recent unit
3 dispatch heat rate curves, modified by the
4 unit's efficiency factors, were provided as
5 input to the POWRSYM model.

6

7 **Q. Are you providing the outage factors projected**
8 **for the period April through September, 1995?**

9 A. Yes. This data is shown on page 7 of Appendix
10 I.

11

12 **Q. How were the outage factors for this period**
13 **developed?**

14 A. The unplanned outage factors were developed
15 using the actual historical full and partial
16 outage event data for each of the units. The
17 actual unplanned outage factor of each
18 generating unit for the previous twelve-month
19 period was adjusted, as necessary, to eliminate
20 non-recurring events and recognize the effect of
21 planned outages to arrive at the projected
22 factor for the April through September, 1995
23 period.

24

25 **Q. Please describe significant planned outages for**

- 1 **the April through September, 1995 period.**
- 2 A. Planned outages at our nuclear units are the
3 most significant in relation to Fuel Cost
4 Recovery. Turkey Point unit No. 3 is scheduled
5 to be out of service for refueling from
6 September 15, 1995 until November 7, 1995 or
7 fifteen days during the period. There are no
8 other significant planned outages during the
9 projected period.
- 10
- 11 Q. **Are any changes to FPL's generation capacity**
12 **planned during the April through September, 1995**
13 **period?**
- 14 A. No.
- 15
- 16 Q. **Please discuss the arrangements between FPL and**
17 **JEA regarding the St. Johns River Power Park**
18 **(SJRPP).**
- 19 A. Under the terms of the contract, FPL owns 20% of
20 the units and has the right to schedule an
21 additional 30% of the capacity of the units from
22 JEA's portion. The portion of energy scheduled
23 by FPL related to FPL's 20% ownership of the
24 units is included in Fuel Cost Recovery
25 Schedules as FPL generation, and the balance of

1 energy scheduled and related energy costs are
2 included in Fuel Cost Recovery Schedules as
3 purchased power.

4

5 **Q. Are you providing the projected interchange and**
6 **purchased power transactions forecasted for**
7 **April through September, 1995?**

8 A. Yes. This data is shown on Schedules E6, E7,
9 E8, and E9 of Appendix II of this filing.

10

11 **Q. In what types of interchange transactions does**
12 **FPL engage?**

13 A. FPL purchases interchange power from others
14 under several types of interchange transactions
15 which have been previously described in this
16 docket: Emergency - Schedule A; Short Term Firm
17 - Schedule B; Economy - Schedule C; Extended
18 Economy - Schedule X; Opportunity Sales -
19 Schedule OS; UPS Replacement Energy - Schedule R
20 and Economic Energy Participation - Schedule EP.

21

22 For services provided by FPL to other utilities,
23 FPL recently developed amended Interchange
24 Service Schedules, including AF (Emergency), BF
25 (Scheduled Maintenance), CF (Economy), DF

1 (Outage), and XF (Extended Economy). These
2 amended schedules replace and supersede existing
3 Interchange Service Schedules A, B, C, D, and X
4 for services provided by FPL.

5

6 **Q. Does FPL have arrangements other than**
7 **interchange agreements for the purchase of**
8 **electric power and energy which are included in**
9 **your projections?**

10 **A. Yes. FPL purchases coal-by-wire electrical**
11 **energy under the Unit Power Sales Agreements**
12 **(UPS) with the Southern Companies. FPL has**
13 **contracts to purchase nuclear energy under the**
14 **St. Lucie Plant Nuclear Reliability Exchange**
15 **Agreements with Orlando Utilities Commission**
16 **(OUC) and Florida Municipal Power Agency (FMPA).**
17 **FPL also purchases energy from JEA's portion of**
18 **the SJRPP Units, as stated above. Additionally,**
19 **FPL purchases energy and capacity from**
20 **Qualifying Facilities under existing tariffs and**
21 **contracts.**

22

23 **Q. Please provide the projected energy costs to be**
24 **recovered through the Fuel Cost Recovery Clause**
25 **for the power purchases referred to above during**

1 the April through September, 1995 period.

2 A. Under the UPS agreements FPL's capacity
3 entitlement during the projected period is 1,007
4 MW from April through May, 1995 and 916 MW from
5 June through September, 1995. Based upon the
6 alternate and supplemental energy provisions of
7 UPS, an availability factor of 100% is applied
8 to these capacity entitlements to project energy
9 purchases. The projected UPS energy (unit) cost
10 for this period, used as input to POWRSYM, is
11 based on data provided by the Southern
12 Companies. For the period, FPL projects the
13 purchase of 1,775,782 MWH of UPS Energy at a
14 cost of \$34,177,200. In addition, we project
15 the purchase of 1,794,008 MWH of UPS Replacement
16 energy (Schedule R) at a cost of \$33,670,300.
17 The total UPS Energy plus Schedule R projections
18 are presented on Schedule E7 of Appendix II.

19

20 Energy purchases from the JEA-owned portion of
21 the St. Johns River Power Park generation are
22 projected to be 1,382,650 MWH for the period at
23 an energy cost of \$21,177,000. FPL's cost for
24 energy purchases under the St. Lucie Plant
25 Reliability Exchange Agreements is a function of

1 the operation of St. Lucie Unit 2 and the fuel
2 costs to the owners. For the period, we project
3 purchases of 264,893 MWH at a cost of
4 \$1,322,695. These projections are shown on
5 Schedule E7 of Appendix II.

6
7 In addition, as shown on Schedule E8 of Appendix
8 II, we project that purchases from Qualifying
9 Facilities for the period will provide 2,263,095
10 MWH at a cost to FPL of \$38,925,070.

11

12 **Q. How were energy costs related to purchases from**
13 **Qualifying Facilities developed?**

14 **A.** For those contracts that entitle FPL to purchase
15 "as-available" energy we used FPL's fuel price
16 forecasts as inputs to the POWRSYM model to
17 project FPL's avoided energy cost that is used
18 to set the price of these energy purchases each
19 month. For those contracts that enable FPL to
20 purchase firm capacity and energy, the
21 applicable Unit Energy Cost mechanism prescribed
22 in the contract is used to project monthly
23 energy costs.

24

25 **Q. Have you projected Schedule A/AF - Emergency**

1 **Interchange Transactions?**

2 A. No purchases or sales under Schedule A/AF have
3 been projected since it is not practical to
4 estimate emergency transactions.

5

6 **Q. Have you projected Schedule B/BF - Short-Term**
7 **Firm Interchange Transactions?**

8 A. No commitment for such transactions had been
9 made when projections were developed.
10 Therefore, we have estimated that no Schedule BF
11 sales or Schedule B purchases would be made in
12 the projected period.

13

14 **Q. Please describe the method used to forecast the**
15 **Economy Transactions.**

16 A. The quantity of economy sales and purchase
17 transactions are projected based upon historic
18 transaction levels, corrected to remove non-
19 recurring factors.

20

21 **Q. What are the forecasted amounts and costs of**
22 **Economy energy sales?**

23 A. We have projected 319,365 MWH of Economy energy
24 sales for the period. The projected fuel cost
25 related to these sales is \$7,001,445. The

1 projected transaction revenue from the sales is
2 \$9,754,583. Eighty percent of the gain for
3 Schedule C is \$2,202,510 and is credited to our
4 customers.

5

6 **Q. In what document are the fuel costs of economy**
7 **energy sales transactions reported?**

8 A. Schedule E6 of Appendix II provides the total
9 MWH of energy and total dollars for fuel
10 adjustment. The 80% of gain is also provided on
11 Schedule E6 of Appendix II.

12

13 **Q. What are the forecasted amounts and costs of**
14 **Economy energy purchases?**

15 A. The costs of these purchases are shown on
16 Schedule E9 of Appendix II. For the April
17 through September, 1995 period FPL projects it
18 will purchase a total of 1,378,029 MWH at a cost
19 of \$19,412,770. If generated, we estimate that
20 this energy would cost \$22,287,874. Therefore,
21 these purchases are projected to result in
22 savings of \$2,875,104.

23

24 **Q. What are the forecasted amounts and cost of**
25 **energy being sold under the St. Lucie Plant**

1 **Reliability Exchange Agreement?**

2 A. We project the sale of 262,154 MWH of energy at
3 a cost of \$1,120,283. These projections are
4 shown on Schedule E6 of Appendix II.

5

6 **Q. Does FPL have any other costs that are included**
7 **in its proposed Fuel Cost Recovery Factor?**

8 A. Yes. FPL is including in the proposed Fuel Cost
9 Recovery Factor the cost of implementing certain
10 equipment modifications at some of its
11 generating facilities to enable these facilities
12 to operate using a less expensive grade of
13 residual fuel oil.

14

15 **Q. Which generating units will be modified and what**
16 **is the cost associated with these modifications?**

17 A. This information is provided in tabular form on
18 page 8 of Appendix I which lists the generating
19 units to be modified, a brief description of the
20 modification, the cost of the modification, the
21 in-service date for each modification, and the
22 total projected fuel cost savings to be
23 realized. The total cost of the modifications
24 is estimated to be \$2,754,502. FPL is expected
25 to incur the entire cost of these modifications

1 by February 28, 1995.

2

3 Q. What are the projected fuel cost savings to be
4 derived from these modifications?

5 A. The projected fuel cost savings to be derived
6 from these modifications are \$8,384,671 during
7 the April through September, 1995 period, and
8 \$81,325,000 from 1995 to 1999.

9

10 Q. Are the generating facilities to be modified
11 permitted to use the less expensive grade of
12 residual fuel oil?

13 A. Yes. The permits for these generating units
14 presently allow them to use the less expensive
15 higher sulfur grade of residual fuel oil.
16 However, if the modifications were not made,
17 there would have been times when these units,
18 when using the less expensive grade of residual
19 fuel oil, could have exceeded the opacity limit
20 imposed by the Environmental Protection Agency.
21 The modifications will reduce the opacity
22 sufficiently to ensure that the opacity limit
23 will not be exceeded at any time, and thus allow
24 FPL to use the less expensive grade of residual
25 fuel oil.

- 1 Q. Has FPL made these or similar modifications at
2 its other generating units?
- 3 A. No. FPL has not made these or any similar
4 modifications at any other generating unit.
5 These modifications have only been made at the
6 eight generating units listed on page 8 of
7 Appendix I, and only for the express purpose of
8 ensuring the continued use of the less expensive
9 grade of residual fuel oil at those specific
10 units. As indicated on page 8 of Appendix I, the
11 modifications began in 1994 and will be
12 completed in early 1995.
13
- 14 Q. Would you please summarize your testimony?
- 15 A. Yes. In my testimony I have presented FPL's
16 fuel price projections for the fuel cost
17 recovery period of April through September,
18 1995. In addition, I have presented FPL's
19 projections for generating unit heat rates and
20 availabilities, and the quantities and costs of
21 interchange and other power transactions for the
22 same period. These projections were based on
23 the best information available to FPL, and were
24 used as inputs to POWRSYM in developing the
25 projected Fuel Cost Recovery Factor for the

1 April through September, 1995 period.

2

3 I also have provided the cost of specific plant
4 modifications for several FPL generating
5 facilities to enable them to use a less
6 expensive grade of residual fuel oil and thereby
7 achieve significant fuel cost savings for its
8 customers. This cost has been included in the
9 proposed Fuel Cost Recovery Factor.

10

11 **Q. Does this conclude your testimony?**

12 **A. Yes, it does.**

13

14

15

1 MR. CHILDS: And would you now summarize your
2 testimony, Mr. Silva?

3 A Yes.

4 My direct testimony presents and explains the
5 basis for FPL's projections for its unit costs of heavy
6 fuel oil, light fuel oil, natural gas and coal used in
7 FPL's generating units in the period April through
8 September, 1995, as well as monthly quantities of
9 natural gas that will be available to FPL during that
10 period; heat rates and availabilities of FPL's
11 generating units during that period, and quantities and
12 costs of interchange and other power transactions.

13 These projections were used in the calculation
14 of the proposed fuel cost recovery factor for the period
15 April through September 1995.

16 In addition, my direct testimony explains why
17 equipment modifications, which in the aggregate cost an
18 estimated \$2.8 million, were implemented at eight of
19 FPL's generating units.

20 The modifications were necessary for FPL to
21 reduce air emissions, opacity in particular, at these
22 eight generating units, and thereby allow FPL to use a
23 more economic rate of fuel oil and then reduce its
24 customers' fuel costs. These modifications were
25 completed by the end of February 1995.

1 Projected fuel cost savings due to the use of
2 the more economic grade of heavy fuel oil made possible
3 by these modifications amount to about \$8.4 million
4 during the April through September period, and
5 \$81.3 million through 1999. Since these modifications
6 have been implemented for the specific purpose of
7 reducing fuel costs, the cost of the modifications has
8 been included in FPL's proposed fuel cost recovery
9 factor through the April through September 1995 period.

10 This concludes my summary.

11 MR. CHILDS: We tender Mr. Silva.

12 COMMISSIONER DEASON: Mr. Kaufmann.

13 CROSS EXAMINATION

14 BY MR. KAUFMANN:

15 Q Good morning, Mr. Silva.

16 A Good morning.

17 Q I'm going to hand out to the Commission and to
18 you a copy of your responses to Florida Steel's First
19 Set of Interrogatories, Interrogatory No. 1, otherwise
20 known as Schedule A3, and I'd like you to take a look at
21 that, please.

22 COMMISSIONER DEASON: Do you wish to have this
23 identified?

24 MR. KAUFMANN: Marked for identification for
25 Exhibit No. 40.

1 COMMISSIONER DEASON: Yes, it will be so
2 identified.

3 (Exhibit No. 40 marked for identification.)

4 BY MR. KAUFMANN:

5 Q Could you confirm that these are FPL's A3
6 Schedules?

7 A Yes.

8 Q Would you confirm that these are for the last
9 13 months, up to and including January 1994?

10 COMMISSIONER KIESLING: Ms. Rush, you have to
11 give one to the court reporter. She's trying to get
12 your attention and didn't make it.

13 A Yes. They are the A3 Schedules for January
14 1994 through January 1995.

15 Q Now, on line No. 44 of each of those schedules
16 is FPL's actual cost of natural gas and estimated cost
17 of natural gas for each month; is that correct?

18 A Yes.

19 Q Would you take a look at these monthly
20 schedules, and looking at the current month column,
21 which would be on the left side of the page, could you
22 confirm that in each and every month for the last 13
23 months that FPL's actual cost of natural gas is less
24 than FPL's estimated cost of natural gas? (Pause)

25 A Yes, sir.

1 Q So that there was never a time in the last 13
2 months that FPL had not overestimated its cost of gas;
3 is that correct?

4 A There has never been a time when the actual
5 cost of gas has been over our projection.

6 Q Or even equal too.

7 A I beg your pardon?

8 Q Or even equal too.

9 A Or equal too.

10 Q Again, referring to the same schedules, would
11 you confirm that in all but three of the last 13 months
12 FPL's actual cost of gas was at least 20% less than
13 FPL's estimated cost of gas?

14 MR. CHILDS: If you have the months,
15 identified it might be easier to ask him to do that.

16 MR. KAUFMANN: I would have to do the same
17 thing.

18 MR. CHILDS: You've got a percentage figure
19 and it's a long process.

20 COMMISSIONER DEASON: The percentage number is
21 the next column over in the docket.

22 MR. CHILDS: I just thought rather than
23 thumbing through and counting whether you had three or
24 not out of the 12 it might be easier.

25 Q (By Mr. Kaufmann) If you would agree, subject

1 to check, in all but three months of the last 13 that
2 FPL's actual cost of gas was at least 20% less than
3 FPL's estimated cost of gas. (Pause)

4 A Yes.

5 Q And would you also confirm that FPL's actual
6 cost of gas was less than FPL's estimate by as much as
7 39%, and that was, I believe, for September 1994.

8 (Pause)

9 A Yes.

10 Q Is it correct that the percentage difference
11 that's reported in this A3 schedule, or these A3
12 schedules, is reflection as a percentage of the
13 estimated cost of gas; in other words, the difference of
14 the actual versus the estimated?

15 A The percent difference is the difference as a
16 percent of the estimated cost.

17 Q Now, if you were to calculate the percentage
18 of overestimation or underestimation not using the
19 estimated cost but actually as a percentage of the
20 actual cost, that percentage would even be greater; is
21 that not true?

22 A I expect.

23 Q For example, if you look at the September 1994
24 schedule where it's calculated that there is an
25 overcollection for that month of 39.1%.

1 A Yes.

2 Q If we look at difference of .9819 as a
3 percent of the actual, would you agree with me, subject
4 to check, that the estimated cost of gas exceeded the
5 actual cost by 64%?

6 A I have no way of knowing that without doing
7 the calculation.

8 Q Is that a difficult calculation for you to do?

9 MR. CHILDS: I'm going to object to the
10 question unless there's some basis established that
11 that's an appropriate way to do it. If you change the
12 numerator in the calculation, you always get a different
13 number. I mean it's --

14 COMMISSIONER DEASON: There's been an
15 objection made. Do you care to respond?

16 MR. KAUFMANN: I don't know exactly what the
17 basis of the objection is. If he can't do the math,
18 perhaps we can do it another way. I think it's a
19 relevant question having to do with the cost of gas and
20 the amount of the collections.

21 MR. CHILDS: My objection, Commissioner, went
22 to objecting unless it's established that what he asked
23 the witness to do is an appropriate way to measure the
24 percent change.

25 COMMISSIONER DEASON: Do you understand the

1 basis of the objection?

2 MR. KAUFMANN: I understand. I'm just trying
3 to illustrate that this number, this percentage
4 difference relative to the percentage difference if it
5 were measured against actual cost is actually even a
6 greater variance.

7 COMMISSIONER DEASON: I understand the nature
8 of the question, and I'm going to overrule the
9 objection. I don't think you have to lay a predicate to
10 determine what a percentage figure is in relation to
11 another figure, and those figures speak for themselves.
12 You may proceed.

13 MR. KAUFMANN: Just to be clear --

14 COMMISSIONER DEASON: I'm overruling the
15 objection. You may proceed with your question.

16 Q (By Mr. Kaufmann) Mr. Silva, do you have in
17 front of you the Appendix 3 that was filed in this case?

18 A Yes.

19 Q Would you take a look at Page 6 of Appendix 3.

20 A Yes.

21 Q If you refer to Note 6 on that page, based on
22 your knowledge of fuel procurement, does the United
23 State's supply of natural gas continue to be higher than
24 the projections used when FPL reestimated the cost of
25 natural gas for the period of December 1994 through

1 March 1995?

2 A Yes.

3 Q And is it also higher than the projections
4 used when FPL estimated the cost of natural gas for the
5 period of April 1995 through September of 1995 for this
6 filing?

7 A I'm sorry, could you repeat the question as it
8 related to this, to this statement on Page 6?

9 Q The question refers to the estimates of United
10 State's gas supply; do they continue to be higher both
11 for the prior period and the projected period than
12 originally anticipated at the time you filed this
13 testimony and appendix?

14 A We believe that it is, yes.

15 MR. KAUFMANN: Your indulgence, please.

16 (Pause)

17 MR. KAUFMANN: Mr. Silva and Commissioners,
18 I'm handing out documents which I'd like to be marked as
19 Exhibits 41 and 42 for identification. They are
20 articles from the December 2nd -- not articles but pages
21 from the December 2nd, 1994, and March 6th, 1995, Wall
22 Street Journal regarding futures prices for gas.

23 COMMISSIONER DEASON: Okay, the February 2,
24 '94 article will be identified as Exhibit 41.

25 MR. KAUFMANN: December 2.

1 COMMISSIONER DEASON: I'm sorry, December 2nd
2 '94 will be identified as Exhibit 41, and the March
3 6th, '95, will be identified as Exhibit 42.

4 (Exhibit Nos. 41 and 42 marked for
5 identification.)

6 MR. KAUFMANN: Just as a matter for
7 clarification, for the December 2nd page from the Wall
8 Street Journal, that reflects trading for December 1st
9 of 1994, and the March 6th page reflects prices for
10 March 3rd, in case there is any confusion.

11 Q (By Mr. Kaufmann) Mr. Silva, would you please
12 read the April settlement price for MMBtu from
13 Exhibit 41, and that would be on the second column from
14 the left, about the bottom third of the page.

15 A Is this the December?

16 Q This would be for the December 1st, yes.

17 A I believe its \$1.653 per MMBtu. I'm sorry,
18 that was January.

19 Q For April, please.

20 A 1.674.

21 Q Thank you. And looking at the same settlement
22 charge for gas again for April as reported for March
23 3rd, 1995.

24 A It is 1.448.

25 Q Would you agree with me, subject to check,

1 that is a 13% decrease in natural gas futures in the
2 last three months?

3 A Approximately, yes.

4 COMMISSIONER DEASON: Mr. Kaufmann, when you
5 get to a good breaking point, we're going to recess to
6 lunch.

7 MR. KAUFMANN: This would be one.

8 COMMISSIONER DEASON: Well recess for lunch
9 and reconvene at 1:00 p.m.

10 (Thereupon, lunch recess was taken at 11:30
11 a.m.)

12 - - - - -

13 (Transcript continues in sequence in Volume
14 3.)

15

16

17

18

19

20

21

22

23

24

25