

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

In re: Standard offer contract) Docket No. 950110-EI
 for the purchase of firm)
 capacity and energy from a)
 qualifying facility between)
 Panda-Kathleen, L.P. And Florida) Power Corporation)

EVENING SESSION

VOLUME 2

PAGES 180 through 377

PROCEEDINGS:

HEARING

BEFORE:

CHAIRMAN SUSAN F. CLARK
 COMMISSIONER J. TERRY DEASON
 COMMISSIONER JULIA L. JOHNSON
 COMMISSIONER DIANE K. KIESLING
 COMMISSIONER JOE GARCIA

DATE:

Monday, February 19, 1996

TIME:

Commenced at 9:35 a.m.

PLACE:

Betty Easley Conference Center
 Room 148
 4075 Esplanade Way
 Tallahassee, Florida

REPORTED BY:

LISA GIROD JONES, RPR, RMR

*W. Paul Rayborn
 and Associates*

P.O. BOX 10195

TALLAHASSEE, FLORIDA 32302-2195

(904) 224-7642

DOCUMENT NUMBER DATE

02543 MAR-1 88

FPSC-RECORDS/REPORTING

1 APPEARANCES:

2 JAMES A. MCGEE, Attorney at Law, and JEFFERY
3 A. FROESCHLE, Attorney at Law, Florida Power
4 Corporation, Post Office Box 14042, St. Petersburg,
5 Florida 33733-4042; appearing on behalf of Florida Power
6 Corporation.

7 DAVID L. ROSS, Attorney at Law, LAWRENCE D.
8 SILVERMAN, Attorney at Law, and LORENE JON BIELBY,
9 Attorney at Law, Greenberg, Traurig, Hoffman, Lipoff,
10 Rosen & Quentel, P.A., 1221 Brickell Avenue, Miami,
11 Florida 33131; appearing on behalf of Panda-Kathleen,
12 L.P.

13 MARTHA CARTER BROWN, Staff Counsel, and LORNA
14 WAGNER, Staff Counsel, Florida Public Service
15 Commission, 2540 Shumard Oaks Boulevard, Tallahassee,
16 Florida 32399-0850; appearing on behalf of the
17 Commission Staff.
18
19
20
21
22
23
24
25

I N D E X - VOLUME 2

WITNESSES

3	NAME	PAGE NO.
4	EDWARD R. GWYNN	
5	Direct Examination by Mr. Froeschle	184
	Prefiled Rebuttal Testimony inserted	189
6	Cross Examination by Mr. Ross	202
	Redirect Examination by Mr. Froeschle	207
7		
	RALPH KILLIAN	
8	Direct Examination by Mr. Ross	209
9	Prefiled Direct Testimony inserted	214
	Cross Examination by Mr. McGee	256
10	Redirect Examination by Mr. Ross	288
11	JOSEPH C. BRINSON	
12	Direct Examination by Mr. Ross	290
	Prefiled Direct Testimony inserted	292
13		
	J. BRIAN DIETZ	
14	Direct Examination by Mr. Ross	298
15	Prefiled Direct Testimony inserted	300
	Cross Examination by Mr. Froeschle	323
16	Cross Examination by Ms. Wagner	369
	Redirect Examination by Mr. Ross	373

17

18

19

20

21

22

23

24

25

	EXHIBITS		
	NUMBER	IDENTIFIED	ADMITTED
1			
2			
3	22 - (Gwynn) ERG-1 & ERG-2	188	209
4	23 - (Killian) RK-1 - RK-15	213	289
5	24 - (Brinson) JCB-1 & JCB-2	291	297
6	25 - (Dietz) Depo Exhibit No. 57	359	376
7	26 - (Dietz) Depo Exhibit No. 77	361	376
8	27 - (Dietz) Depo Exhibit No. 78	365	376
9	28 - (Dietz) Depo Exhibit No. 60	367	376
10	29 - (Dietz) 10-20-94 Order Granting Application For Certification of a Qualifying Cogen Facility	375	376
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 PROCEEDINGS

2 (Transcript continued in sequence from
3 Volume 1.)

4 CHAIRMAN CLARK: All right, we're going to
5 take Mr. Gwynn now?

6 MR. FROESCHLE: Madam Chairman, my name is
7 Jeff Froeschle on behalf of Florida Power. I would like
8 to call Ed Gwynn.

9 MR. ROSS: May I have about a one-minute
10 recess?

11 CHAIRMAN CLARK: Go ahead.

12 (Pause)

13 CHAIRMAN CLARK: Mr. Ross, are you ready?

14 MR. ROSS: I'm ready.

15 MR. FROESCHLE: Thank you, Madam Chairman.

16 EDWARD R. GWYNN

17 was called as a witness on behalf of Florida Power
18 Corporation, and having been duly sworn, testified as
19 follows:

20 DIRECT EXAMINATION

21 BY MR. FROESCHLE:

22 Q Mr. Gwynn, would you please state your name
23 and business address?

24 A My name is Edward R. Gwynn. My business
25 address is in Dallas, Texas. It's on North Central

1 Expressway in Dallas, Texas, HEARD Energy Corporation.
2 It's Suite 500, and I -- my street address I can check.
3 I have it here. I'll have to get it for you out of my
4 wallet later.

5 CHAIRMAN CLARK: I'm sorry, I didn't hear what
6 you said.

7 WITNESS GWYNN: My address, my specific .
8 address, I'm looking for it, and --

9 CHAIRMAN CLARK: We have it as 14643, Dallas
10 Parkway, Suite 500, Dallas, Texas; is that it?

11 WITNESS GWYNN: That is correct, Suite 500.

12 BY MR. FROESCHLE:

13 Q Do you have before you a document entitled
14 Rebuttal Testimony of Edward R. Gwynn?

15 A I do.

16 Q Would you please describe how that testimony
17 was prepared?

18 A The testimony was prepared from previous
19 deposition testimony that I gave in a deposition under
20 subpoena for the Middle District Court of Florida in
21 Case No. 95-992-Civ-T-24C, on October 6th of 1995, I
22 believe.

23 Q Have you reviewed that testimony?

24 A I have.

25 Q Do you have any additions or corrections you

1 would like to make to that testimony?

2 A I have none.

3 Q If you were asked the same questions today
4 that were asked in this testimony, would you answer them
5 the same way?

6 A I would.

7 MR. FROESCHLE: Madam Chairman, we would ask
8 that Mr. Gwynn's testimony be inserted into the record
9 as though read.

10 CHAIRMAN CLARK: The rebuttal testimony of
11 Mr. Edward R. Gwynn will be inserted in the record as
12 though read.

13 MR. ROSS: Madam Chairman, I must, just for
14 the record, state an objection to Mr. Gwynn's testimony,
15 to this extent: A portion of Mr. Gwynn's testimony
16 covers privileged information as our former general
17 counsel. And so that the record is clear that we are
18 not waiving any objections to that, I think it is
19 necessary on our client's behalf to object to that
20 testimony coming into this record since it is privileged
21 communications, and that is the entire portion of his
22 testimony where he describes a legal opinion which he
23 says he gave to our client at a particular meeting on
24 October the 10th, 1992.

25 CHAIRMAN CLARK: Mr. Ross, you need to tell me

1 the lines that you object to.

2 MR. ROSS: It would be starting on Page 7,
3 Line 4, and running through the bottom of Page 9, Line
4 25.

5 CHAIRMAN CLARK: And what is your objection?

6 MR. ROSS: That he has testified to privileged
7 communications, and therefore it should not be admitted
8 into evidence in this proceeding.

9 CHAIRMAN CLARK: As I understand it, this is
10 testimony that was taken from a deposition. Did you
11 make an objection to that -- his testifying at that
12 time?

13 MR. ROSS: I was not counsel at the time, but
14 I have to state for the record that counsel at that time
15 did not make an objection at the deposition.

16 CHAIRMAN CLARK: Well, I think the privilege
17 has been waived, Mr. Ross.

18 MR. ROSS: I understand what Your Honor is
19 saying, but so that the record is clear for future
20 proceedings, I wish to say that we continue to maintain
21 the objection.

22 CHAIRMAN CLARK: All right. I'm going to
23 allow the prefiled rebuttal testimony to be entered in
24 the record as though read with that objection noted.

25 MR. FROESCHLE: Mr. Gwynn has attached to his

1 testimony Exhibit Nos. ERG-1 and ERG-2. We ask that
2 they be marked as Composite Exhibit 22.

3 CHAIRMAN CLARK: They'll be marked as Exhibit
4 22.

5 (Exhibit No. 22 marked for identification.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Docket No. 950110-EI

**REBUTTAL TESTIMONY OF
EDWARD R. GWYNN**

1 **Q. Please state your name and business address.**

2 A. My name is Edward R. Gwynn. My business address is 14643 Dallas
3 Parkway, Suite 500, Dallas, Texas 75240.

4

5 **Q. By whom are you employed and in what capacity?**

6 A. I am employed by HEARD Energy Corporation ("HEARD") and I am
7 currently the Sr. Vice President and General Counsel of HEARD. I am not
8 employed by, nor do I have any relationship with Florida Power, other than
9 that they have subpoenaed me and agreed to pay my expenses incurred in
10 connection with my attendance at a hearing in Tallahassee on this matter on
11 February 19, 1996.

12

13 **Q. Prior to joining HEARD, by whom were you employed and in what
14 capacity?**

15 A. I was employed by Panda Energy Corporation ("Panda Energy") as its general
16 counsel. I occupied this position in late 1991, all of 1992 and part of 1993
17 before I left Panda Energy. My responsibilities in this position included
18 normal general counsel responsibilities such as negotiating contracts, writing
19 contracts and handling normal corporate legal matters. Prior to actually
20 becoming an employee of Panda Energy, I represented Panda Energy as its
21 general counsel. I also was on the board of directors of Panda Energy for

1 some period of time. In total, I was involved either as an outside lawyer,
2 board member or in-house general counsel for Panda Energy for about 10
3 years.

4

5 **Q. Do you have any continuing involvement with Panda?**

6 A. Yes. Various members of my family currently own 200,000 shares of stock
7 of Panda. Panda also is suing a large group of companies and people,
8 including, among others, HEARD and me.

9

10 **Q. During 1991 and 1992, what was the relationship between Panda Energy**
11 **and Panda-Kathleen Corporation, the general partner of Panda-Kathleen,**
12 **L.P.?**

13 A. Panda-Kathleen Corporation was a subsidiary of Panda Energy ("Panda," as
14 used herein, refers to Panda Energy, Panda-Kathleen Corporation or Panda
15 Kathleen, L.P., depending upon the context in which I use the word
16 "Panda").

17

18 **Q. Do you hold any professional certifications or licenses?**

19 A. Yes. I am licensed to practice law in several states, including Texas.

20

21 **Q. Have you previously given testimony concerning issues that exist between**
22 **Panda and Florida Power?**

23 A. Yes. On October 6, 1995, pursuant to a subpoena issued in the case of
24 *Panda-Kathleen, L.P. v. Florida Power Corporation*, pending in the United
25 States District Court for the Middle District of Florida as Case No. 95-992-

1 Civ-T-24C, I appeared in Dallas, Texas, for a deposition conducted initially
2 by Florida Power's lawyer. At that time, I gave deposition testimony that
3 lasted most of the day. During that deposition, I was cross-examined by the
4 lawyer for Panda.

5
6 **Q. What is the purpose of your testimony?**

7 **A.** Florida Power has subpoenaed me to provide testimony of my recollection of
8 several events in which I was personally involved while employed by Panda
9 and about which I previously testified in my October 6, 1995 deposition. In
10 that regard, I have reviewed portions of the "pre-filed" testimony of Ralph
11 Killian, Brian Dietz and Darol Lindloff that I understand has been submitted
12 for filing in this proceeding.

13
14 **Q. On what do you base the testimony contained herein?**

15 **A.** My testimony herein is based on my personal knowledge of the facts.
16

17 **THE DURATION OF THE CAPACITY PAYMENTS**

18
19 **Q. Did you read the portion of Ralph Killian's pre-filed testimony (at page**
20 **20, lines 14-21 and page 21 lines 1-12) in which he said that Florida**
21 **Power agreed that (1) Panda would receive capacity payments for the**
22 **entire 30-year term of the contract, and (2) Florida Power's payments**
23 **would escalate over the contract term not shown in the tables in Schedule**
24 **3 to Appendix C at a rate of 5.1% per year?**

25 **A.** Yes.

1 Q. Did you have occasion to attend the January 9, 1992 meeting at Florida
2 Power Corporation's offices in St. Petersburg, Florida at which Mr.
3 Killian says that agreement was reached?

4 A. Yes.

5

6 Q. In what capacity did you attend that meeting?

7 A. I attended the January 9, 1992 meeting as Panda's principal contract
8 negotiator.

9

10 Q. Was an agreement made at that meeting such as that described by Mr.
11 Killian at page 20, lines 14-21 and page 21 lines 1-12 of his "pre-filed"
12 testimony?

13 A. No. I and several other Panda employees, including Mr. Killian visited
14 Florida Power's offices to discuss various questions and concerns that both
15 parties had about the standard offer contract that Panda had submitted to
16 Florida Power in October 1991 and that Florida Power had accepted in
17 November (sometimes referred to as the "Standard Offer Contract"). We met
18 with Allen Honey and others from Florida Power. I took contemporaneous
19 notes during that meeting of various matters that were discussed between
20 Florida Power and Panda. A copy of those notes is submitted with my
21 testimony (although I did not write the words "makes you want to puke" on
22 that exhibit -- I do not know who wrote those words). (Exhibit No. 22
23 (ERG-1)).

24

1 During the meeting, a Florida Power representative raised the subject of the
2 duration of the capacity payments and the term of the contract. I believe it
3 was Mr. Honey who said that the "term [of the standard offer contract] should
4 be 20 years," or words to that effect. I recorded those words in my notes.
5 (Exhibit No. ___ (ERG-1)).
6

7 **Q. How did Panda's representatives respond to that statement?**

8 A. We did not agree with the statement. I made a note to myself to check the
9 standard offer contract to analyze the issue of what, if any obligation, Florida
10 Power had to make capacity payments beyond 20 years. During that meeting,
11 however, no resolution of that issue was agreed to by Panda and Florida
12 Power. We, on behalf of Panda, were not about to make any agreement on
13 any one portion of the issues discussed until they all were resolved.
14

15 **Q. During the January 9, 1992 meeting, did Florida Power make any**
16 **definitive promise or agreement that the way this issue would be handled**
17 **would be to either (1) pay Panda capacity payments for 30 years, (2)**
18 **escalate the amount of capacity payments for the period following the**
19 **year 2016 at a rate of 5.1%, (3) compute the payments using the formula**
20 **contained in the PSC regulations, or (4) compute those payments using a**
21 **different avoided unit?**

22 A. No. As I stated earlier, no definitive agreement or promise was made
23 between the parties on this subject.
24

1 **Q. Prior to when you left Panda in early 1993, did Panda and Florida Power**
2 **ever come to a definitive agreement on how to handle the issue concerning**
3 **the duration of capacity payments and the term of the contract that had**
4 **been raised at the January 9, 1992, meeting with Florida Power?**

5 **A. Not to my knowledge. No one inside of Panda Energy ever reported to me**
6 **during that period that they had reached any such agreement with Florida**
7 **Power, and I never saw any letter or other writing that stated any such**
8 **agreement had been reached.**

9

10

THE SIZE OF THE FACILITY

11

12 **Q. Did you read the portions of the testimony of Messrs. Dietz, Killian and**
13 **Lindloff concerning the size of the facility that Panda wants to build?**

14 **A. Yes, I did.**

15

16 **Q. While you were employed by Panda, were you ever involved in**
17 **discussions inside Panda concerning the size of the facility that would be**
18 **built to satisfy Panda's obligations under its standard offer contract with**
19 **Florida Power?**

20 **A. Yes, on at least two separate occasions. The first time was in October 1991,**
21 **when I filed with the Federal Energy Regulatory Commission, Panda's**
22 **AMENDED AND RESTATED NOTICE OF SELF CERTIFICATION AS A QUALIFYING FACILITY.**
23 **A copy of that filing is submitted with my testimony. (Exhibit No. 22**
24 **(ERG-2)). In that filing, on behalf of Panda, I certified that "The Facility**

1 will have an estimated net maximum capacity at design conditions of 74.9
2 MW."

3
4 The second time I was involved in discussions about the facility size was
5 about a year later, in or around October 1992. Specifically, I had been asked
6 by the then president of Panda Energy, Hans van Kuilenburg, what size plant
7 could be built. He asked me to research the standard offer contract and what
8 I knew of the law of the situation and to advise Panda on what the contract
9 provided. I recall attending a meeting at Panda's offices on or about October
10 10, 1992, at which I gave my advice concerning the standard offer contract,
11 and the facility size permitted under that contract.

12
13 **Q. Who was present at the October 10, 1992, meeting?**

14 A. This meeting involved only Panda employees. As I recall it, Ralph Killian,
15 Darol Lindloff, Don Kinney and Brian Dietz of Panda were all present.

16
17 **Q. Please describe, as best you can recall it, what you said during the**
18 **October 10, 1992, meeting on the subject of facility size permitted under**
19 **the Standard Offer Contract?**

20 A. One of the topics of discussion was the ability to require Florida Power to
21 purchase energy at the "as-available" price generated by a plant with a
22 capacity or facility size designed above 75 megawatts. By capacity, or
23 facility size, I am referring to the capability of the facility to produce energy.
24 I am not referring to the contractual term "committed capacity" as used in the
25 Standard Offer Contract, which means the specific 74.9 MW of energy

1 produced by the facility that Panda was committed to provide to Florida
2 Power and Florida Power was committed to purchase under the circumstances
3 described therein. I was asked what capacity or size facility I felt the contract
4 provisions would allow.

5
6 I expressed reservations about Florida Power's obligation to buy such energy
7 from a plant designed with a capacity to produce more than 75 megawatts. I
8 said to the Panda employees assembled for this meeting that (i) the Standard
9 Offer Contract provided for a committed capacity of 74.9 megawatts, (ii)
10 there was no mechanism to increase this presently in the contract, and (iii)
11 Florida Power Corporation may or may not be required to accept (at as-
12 available prices) energy generated by a capacity in excess of 75 megawatts.

13
14 I voiced the opinion internally that perhaps the Standard Offer Contract could
15 be modified or interpreted to permit, within a range, relatively slight capacity
16 (i.e., facility size) deviations that become apparent when the plant is tested.
17 A plant normally will not test exactly at the capacity specified in the contract.
18 I also voiced the opinion that this was a relatively slight range applicable only
19 to a plant designed to achieve a 74.9 megawatt capacity at the worst ambient
20 conditions, not to one designed to achieve a capacity greater than 74.9
21 megawatts.

22
23 **Q. Do you recall the size of the facility under consideration by Panda during**
24 **the October 10, 1992, meeting?**

1 A. I do not recall the exact size, but I do recall it was in excess of 100
2 megawatts.

3

4 **Q. Did you state during the meeting whether you thought a facility of that**
5 **size fit within what you earlier described as the slight deviation range that**
6 **would be permitted?**

7 A. I stated in effect that I did not believe 100 MW was within the range of what
8 I earlier described as "slight deviations."

9

10 **Q. Did you state during the meeting whether or not you felt that a facility of**
11 **that size would be permissible under the standard offer contract?**

12 A. I was asked what size the plant could be, and I explained to the Panda people
13 that in my opinion the standard offer contract as written would permit at most
14 deviations that could be attributed to the differences that would occur in the
15 final construction of the plant versus the targeted or intended capacity. I
16 stated that in my opinion the contract, as written, would not permit
17 deviations beyond 10%.

18

19 **Q. During the October 10, 1992, meeting did anyone with Panda say**
20 **anything to the effect that it was technically infeasible to construct a**
21 **facility that would enable Panda to fulfill the terms of its standard offer**
22 **contract with Florida Power unless the size of that facility exceeded 100**
23 **MW?**

24 A. No, to the contrary, several of the turbines that were discussed at that meeting
25 involved facility sizes that closely approximated 75 MW.

1 Q. Does this conclude your testimony?

2 A. Yes.

1 BY MR. FROESCHLE:

2 Q Mr. Gwynn, would you please give us a summary
3 of your testimony?

4 A Yes. A standard offer contract with a 30-year
5 term was submitted by Panda to Florida Power Corporation
6 in or about October 1991. Florida Power Corporation
7 signed and returned the standard offer contract to Panda
8 without modification during November 1991. The first
9 negotiation or review session was held at Florida Power
10 Corporation offices on or about January 9th, 1992. I
11 attended the January 9th negotiation sessions as Panda's
12 principal contract negotiator. Mr. Killian and other
13 Panda personnel also attended the January 9th session,
14 as did Allen Honey and certain other Florida Power
15 Corporation representatives.

16 We were aware at Panda, before the January
17 9th, 1992 negotiation, of Florida Power Corporation's
18 concerns regarding the 30-year term.

19 These concerns, and other concerns of both
20 parties regarding the standard offer contract, were
21 discussed at the January 9th, 1992 negotiation session.
22 No resolution of the term issue was arrived at on
23 January 9th at that session. Panda did not agree to
24 shorten the term to 20 years and Florida Power
25 Corporation made no commitments either with regard to

1 the 30-year term or with regard to the amount of the
2 capacity payments. These matters were discussed, but no
3 agreements were reached. In fact, this was decided
4 before we went to the negotiation, that we had to find
5 out what all the issues were before any concessions were
6 made either way.

7 And so resolution of these matters was arrived
8 at either at the January 9th, 1992 meeting or at anytime
9 prior to my resignation from Panda during February
10 1993. My prefiled testimony also treats advice that I
11 gave to Panda personnel on or about October 10th, 1992.
12 At that time the issue of concerns of both parties with
13 regard to the term of the contract still had not been
14 resolved, and there was the issue of a size of the plant
15 that still was unresolved and to what as-available
16 energy might be at that point, if the plant was built
17 larger than the 75 megawatts. Various configurations
18 had been considered. I don't recall the exact figures,
19 but from somewhere near the 75 megawatts to something
20 well over 100 megawatts.

21 During that meeting, attended by Panda
22 employees, I believe it was Mr. Dietz, Mr. Killian --
23 let's see who else. Mr. Dietz, Mr. Killian,
24 Mr. Lindloff, and Donald Kinney. I was asked a number
25 of questions, which I had been asked to research before

1 that, to research both the standard offer contract and
2 the law as I understood it. And my advice was that the
3 standard offer contract provided for a committed
4 capacity of less than 75 megawatts, hence the 74.9
5 megawatt bid; number two, that there was no mechanism in
6 the contract to increase the 74.9 percent megawatt
7 capacity; and lastly, that Florida Power Corporation may
8 or may not be required to accept as-available energy
9 generated by a capacity in excess of 74.9 percent. I
10 had no question but what energy associated with 74.9
11 percent megawatts was -- fit within the definition of
12 as-available energy. I did not know whether or not
13 energy associated with any capacity in excess of 74.9
14 percent megawatts would be treated as as-available
15 energy under Florida regulations. That concludes my
16 summary.

17 MR. FROESCHLE: I would tender Mr. Gwynn for
18 cross-examination at this time.

19 CHAIRMAN CLARK: Mr. Ross?

20 MR. ROSS: Your Honor, just for the record, I
21 would move to strike that last portion of his summary
22 where he talked about an opinion as to the as-available
23 energy over 74.9 megawatts. I don't see that in his
24 direct prefiled testimony at all. I don't see anything
25 about such an opinion in his direct prefiled testimony.

1 CHAIRMAN CLARK: It's Mr. Froeschle, isn't
2 it? Can you respond to that, please?

3 MR. FROESCHLE: I believe on Page 8 of his
4 testimony he states, "I also voice the opinion that this
5 was a relatively slight change, applicable only to a
6 plant designed to achieve a 74.9 megawatt capacity and
7 not one designed to achieve a capacity greater than 74.9
8 megawatts." I believe he's touched on the issue and
9 that his summary is possibly different words but of the
10 same character.

11 MR. ROSS: I'm sorry. I'm sorry, I see the
12 sentence now that he's referring to.

13 CHAIRMAN CLARK: All right, so you withdraw
14 the objection. Thank you. Mr. Ross.

15 CROSS-EXAMINATION

16 BY MR. ROSS:

17 Q Mr. Gwynn, I have just a couple of questions
18 for you. You're a defendant in a lawsuit as we sit here
19 today, brought against you and many other people by
20 Panda Energy Corporation; are you not, sir?

21 A That's correct. It's mentioned in my prefiled
22 testimony.

23 Q And you are being sued by Panda Energy for
24 having stolen corporate opportunities of Panda Energy
25 Corp. while you were employed by Panda Energy; isn't

1 that the basis of the claim?

2 A I don't think that's the way it's styled.
3 That may be your interpretation.

4 Q That is basically the basis of the claim; is
5 it not, sir?

6 A There are a lot more aspects to it than that.

7 Q That's certainly one of them?

8 A No, not as stolen.

9 Q That you usurped corporate opportunities?

10 A That's the term used.

11 Q You like that term better?

12 A I don't like either term.

13 Q So you are being sued for having usurped
14 corporate opportunities of Panda Energy Corp. while you
15 were employed by Panda Energy Corp.; is that correct?

16 A I'm being sued, along with Billbank Tweed,
17 Enterge Corporation, Morgan Stanley and others,
18 Allstate.

19 Q You said in your summary of your testimony a
20 moment ago that you told the folks at Panda that you
21 didn't know whether or not Florida Power Corporation
22 would be required to accept at as-available energy
23 prices the capacity generated in excess of 75 megawatts
24 by this proposed facility. Did I understand you
25 correctly?

1 A Yes, the portion of the energy associated with
2 the excess over 74.9, that is correct.

3 Q You remember that you were deposed in the
4 federal court proceeding; you mentioned that in your
5 summary?

6 A Yes, on October 6 of last year.

7 Q And do you recall at Page 137 of that
8 deposition, you were asked the following question and
9 gave the following answer, beginning at Line 10: "What
10 opinion did you render as to the as-available energy
11 issue?"

12 And your answer was: "That the Florida Power
13 Corporation would be required to purchase as-available
14 energy."

15 A That is correct, and that would be my
16 testimony now. The question was not -- the question
17 addressed -- they were clearly required to develop --
18 the question was, what was as-available energy. Florida
19 Power Corporation was required to purchase as-available
20 energy, and my response there did not address what
21 as-available energy was.

22 Q Wouldn't that be the energy over and above the
23 74.9 megawatts?

24 A Not necessarily. It could be any energy
25 produced that was not purchased. The as-available

1 energy, as I understand it, would be whatever energy
2 Florida Power had not purchased, and it could be under
3 the 74.9 percent megawatts as well.

4 Q Well, you understood that under this standard
5 offer contract, Florida Power was required to purchase
6 the first 74.9 megawatts of committed capacity; I think
7 you said that, correct?

8 A Of capacity, not energy.

9 Q And they also had -- well they had to pay a
10 capacity payment for that, correct?

11 A For capacity, but energy is a separate issue.

12 Q They also paid an energy payment for that;
13 didn't they?

14 A That was not my understanding.

15 Q That was not your understanding of the
16 contract?

17 A No, it was not.

18 Q Have you gone back and looked at the contract?

19 A I haven't had occasion to go back and look at
20 it. I don't think the contract required the purchase of
21 energy of that amount. The as-available energy, the
22 question is, what was the definition of as-available
23 energy in the plan.

24 Q Okay, but just so that I understand, it was
25 your opinion that Florida Power had to buy all of the

1 energy, correct?

2 A No, that's not correct.

3 Q At as-available rates?

4 A No, you're mischaracterizing it. My opinion
5 was that if they purchased as-available energy, they
6 would have to buy some portion of it, at least the
7 energy associated with 74.9 megawatts, not necessarily
8 the energy associated with the capacity over that.

9 Q Is it correct, sir, that -- you recall that
10 the in-service and construction commencement dates were
11 extended, right, in this contract?

12 A Yes. I don't recall when I -- when that
13 happened, but yes, I do know that it has happened.

14 Q You recall that it was as early as October
15 1992 that it was actually a desire on Florida Power's
16 part to delay the in-service dates of this?

17 A I do recall that. It was Florida Power
18 Corporation's desire.

19 MR. ROSS: Thank you. I have no further
20 questions.

21 CHAIRMAN CLARK: Thank you, Mr. Ross. Staff?

22 MS. BROWN: Staff has no questions.

23 CHAIRMAN CLARK: Redirect?

24 Excuse me. Commissioners, do you have any
25 questions?

1 (No response.)

2 CHAIRMAN CLARK: Redirect.

3 REDIRECT EXAMINATION

4 BY MR. FROESCHLE:

5 Q Mr. Gwynn, you were asked some questions about
6 the litigation you're engaged in with Panda. Could you
7 describe for us briefly what that litigation is?

8 A I'm not sure you could describe it briefly. I
9 think the legal fees have exceeded two and a quarter
10 million dollars for everybody concerned. I don't know
11 that I can give it. Panda basically is claiming that
12 projects that we developed in our new company in
13 Indonesia were projects that they had developed and that
14 we had taken from them. Not the case at all. They're
15 different locations. Panda submitted bids in June of
16 1991 for certain Indonesian projects, unsolicited bids
17 that had a self-destruct date of September 1991. They
18 didn't visit again, with the exception of one visit to
19 Jakarta, Indonesia, and did not follow up. They did not
20 follow up sales efforts after we left. We have two
21 projects in entirely different locations, and those are
22 the ones that they claim we took, I guess under the
23 presumption since they tried to do business in 1991 in
24 Indonesia, that we were precluded forever from doing so,
25 along with Morgan Stanley and Allstate and a lot of the

1 world.

2 CHAIRMAN CLARK: Morgan Stanley and who else?

3 WITNESS GWYNN: They've sued Allstate Life
4 Insurance, Allstate Insurance, Morgan Stanley,
5 Investment Bankers, Billbank Tweed, Enterge and 20 some
6 defendants. They also then added our Indonesian
7 partners, whom we didn't even meet until a year and a
8 half after we left Panda. They were just excluded under
9 a special appearance this past week.

10 BY MR. FROESCHLE:

11 Q Mr. Gwynn, do you own any stock in Panda?

12 A My family and I own 200,000 shares, a
13 substantial block.

14 Q Are you an employee of Florida Power in any
15 respect?

16 A No, I am not.

17 MR. FROESHLE: I have no other questions.

18 CHAIRMAN CLARK: Thank you. Thank you,
19 Mr. Gwynn. You're excused.

20 CHAIRMAN CLARK: I suppose you move the
21 admission of Exhibit 22?

22 MR. FROESCHLE: Yes, Madam Chairman, I would
23 move for the admission of Exhibit No. 22.

24 CHAIRMAN CLARK: Without objection, Exhibit 22
25 is admitted.

1 (Exhibit No. 22 received into evidence.)

2 CHAIRMAN CLARK: Thank you, Mr. Gwynn.

3 (Witness Gwynn excused.)

4 * * *

5 CHAIRMAN CLARK: Mr. Killian.

6 RALPH KILLIAN

7 was called as a witness on behalf of Panda-Kathleen,
8 L.P., and having been duly sworn, testified as follows:

9 CHAIRMAN CLARK: Mr. Ross, go ahead.

10 DIRECT EXAMINATION

11 BY MR. ROSS:

12 Q Would you state your name and address for the
13 record, please?

14 A My name is Ralph Killian. I work at 4100
15 Spring Valley in Dallas, Texas.

16 Q And your present position is what?

17 A Senior vice president of Panda Energy.

18 Q Mr. Killian, do you have before you a document
19 that constitutes the prefiled direct testimony that you
20 have filed in this case?

21 A Yes, I do.

22 Q And just so that the record is clear, do you
23 also have a short excerpt from the prefiled testimony in
24 this case that's bound in a separate red cover?

25 A Yes, I do.

1 Q Commissioners, as I understand, the separately
2 bound volume was the small portion of his testimony for
3 which a claim of confidentiality was made, but I now
4 understand, if I'm correct, that the claim to
5 confidentiality has been withdrawn, so that therefore
6 his entire direct testimony can go in without issue.

7 MR. MCGEE: Yes, Madam Chairman. Florida
8 Power never had made a claim for that portion of the
9 testimony, but Panda, out of consideration for our claim
10 of consideration regarding the underlying document, had
11 redacted that portion of his testimony. Since it
12 doesn't refer to the small part of the exhibit that is
13 confidential, we have no concern about his testimony.

14 CHAIRMAN CLARK: I'm sorry, Mr. McGee, I
15 didn't understand what you just said. You need to speak
16 louder. Go ahead.

17 MR. MCGEE: Florida Power had a claim for
18 confidentiality of a small portion of Mr. Killian's
19 exhibit.

20 CHAIRMAN CLARK: Which exhibit?

21 MR. MCGEE: RK-5, and it was four lines on
22 Page 5. Because of that claim that Florida Power had
23 with respect to the document, when Panda prepared
24 Mr. Killian's testimony, all reference to that overall
25 exhibit, RK-5, was redacted. The content of that

1 testimony never addressed the small portion of the
2 exhibit that was confidential, and we have never
3 asserted a claim of confidentiality with respect to the
4 testimony.

5 CHAIRMAN CLARK: Okay. So the entire
6 testimony, prefiled direct testimony of Mr. Ralph
7 Killian, can be inserted in the record as though read
8 without any portions of it being treated at
9 confidential?

10 MR. MCGEE: Yes, ma'am.

11 CHAIRMAN CLARK: Now, I guess I need some more
12 direction from you all as to the prefiled testimony. I
13 noted -- I assumed when I was reading the testimony that
14 where you didn't complete -- for instance, on Page 3
15 where you ended at Line 11, that the rest of it was
16 confidential. I guess -- apparently that's an error.

17 MR. ROSS: That's just a page break. That's
18 just the way it came out. When we started doing this
19 with the redacting and we had to get it filed, some
20 things didn't come out right, but no, there's nothing
21 missing there.

22 CHAIRMAN CLARK: Let me just be clear. In
23 your red copy, what we should -- we should substitute
24 the pages in the red copy for the pages you have in the
25 prefiled testimony?

1 MR. ROSS: That is correct. That's the only
2 additions. That's correct.

3 CHAIRMAN CLARK: Just so the record is -- are
4 there any other additions or corrections to this
5 testimony? Have you gotten that far?

6 MR. ROSS: I haven't asked that question yet.

7 CHAIRMAN CLARK: Go ahead.

8 BY MR. ROSS:

9 Q Mr. Killian, are there any additions or
10 corrections to your prefiled testimony that you wish to
11 make?

12 A No, there are not.

13 Q And if you were asked the same questions here
14 today, would you give the same answers today?

15 A Yes, I would.

16 MR. ROSS: We would then tender into the
17 record as though read the prefiled testimony of Ralph
18 Killian.

19 CHAIRMAN CLARK: All right, the prefiled
20 direct testimony of Mr. Ralph Killian will be inserted
21 in the record as though read, and let the record reflect
22 that the separately provided pages of pages 5, 24 and
23 25, will be -- in the red folder, will be substituted
24 for what is currently 5, 24 and 25.

25 MR. ROSS: That is correct.

1 CHAIRMAN CLARK: Go ahead, Mr. Ross.

2 MR. ROSS: Let me just deal with the
3 exhibits.

4 BY MR. ROSS:

5 Q Mr. Killian, attached to your prefiled
6 testimony you have a set of exhibits that are marked
7 there as RK-1 through RK-15, correct?

8 A That is correct.

9 Q And those are the exhibits that are referred
10 to in your direct testimony?

11 A That's correct.

12 Q I would tender in as composite exhibit then
13 No. 23, the exhibits to Mr. Killian's direct testimony.

14 CHAIRMAN CLARK: Okay, RK-1 through --

15 MR. ROSS: 15.

16 CHAIRMAN CLARK: -- RK-15 will be marked as
17 Composite Exhibit 23.

18 (Exhibit No. 23 marked for identification.)

19 CHAIRMAN CLARK: Go ahead.

20

21

22

23

24

25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

TESTIMONY OF RALPH KILLIAN

ON BEHALF OF PANDA-KATHLEEN, L.P.

DOCKET NO. 950110-EI

I. INTRODUCTION AND QUALIFICATION

Q. Please state your name, profession, and business address.

A. My name is Ralph Killian. I am the Senior Vice President of Panda Energy International, Inc. Panda Energy International, Inc. is engaged in the development and operation of cogeneration facilities. Panda-Kathleen, L.P. ("Panda") is engaged in the development of a qualified cogeneration facility in Lakeland, Florida pursuant to a contract between Panda and Florida Power Corporation ("Florida Power"). My business address is 4100 Spring Valley, Dallas, Texas 75244.

Q. State briefly your educational and professional background.

1
2 A. I earned a B.S. degree in chemical engineering from the
3 University of Florida in 1969. From 1969 to 1988, I
4 held various engineering staff and management positions
5 at AMOCO Production Company. From 1988 to 1989, I was
6 Senior Vice president of Texas Eastern Gas Pipeline
7 Company, where I was responsible for all marketing,
8 supply and transportation for the Texas Eastern
9 interstate natural gas pipeline serving the northeast
10 United States.

11

12 Q. On whose behalf are you appearing in this proceeding?

13

14 A. I am appearing on behalf of Panda-Kathleen, L.P.

15

16 Q. Please describe your duties with Panda Energy
17 International, Inc.

18

19 A. I am the Senior Vice President of Panda Energy
20 International, Inc.. I am responsible for business
21 development, sales, project development, fuel

1 procurement and management, and certain other
2 functions. I had, and continue to have, overall
3 responsibility for the Panda-Kathleen, L.P. project,
4 among other matters. I have been with Panda Energy
5 International, Inc. and its predecessor, Panda Energy
6 Corporation, since 1989.

7

8 Q. Have you ever testified before the Florida Public
9 Service Commission?

10

11 A. No, I have not.

1 II. PURPOSE OF TESTIMONY

2 Q. What is the purpose of your testimony?

3

4 A. The purpose of my testimony is to state the facts
5 underlying Panda's contract with Florida Power
6 Corporation, obligating Panda to furnish wholesale
7 electric power for 30 years at a net 74.9 MW or greater
8 of capacity, under all operating conditions, and
9 obligating Florida Power to purchase that power at
10 rates as calculable in the contract. My testimony will
11 also state the facts of Panda's discussions with
12 Florida Power Corporation from 1991-1995 relating to
13 these contractual issues.

14

15 Q. Are you sponsoring an exhibit in this case?

16

17 A. Yes. It consists of seventeen documents.

18

19 Document No. 1 is a Standard Offer Contract
20 Questionnaire Panda received from Florida Power in
21 September 1991.

1
2 Document No. 2 is Panda's response to that
3 questionnaire, which it delivered to Florida Power in
4 October 1991.

5
6 Document No. 3 is Florida Power's "Evaluation Of
7 Standard Offer Proposals," dated November 1991.

8
9 Document No. 4 is a Florida Power document entitled
10 "Negotiated Contract For The Purchase Of Firm Capacity
11 And Energy From A Qualifying Facility," which was
provided to Panda in February 1991.

12
13
14 Document No. 5 is an internal Florida Power study,
15 entitled "Cogeneration Review; an Assessment of Florida Power's
Qualifying Facility (CoGeneration) Purchases," dated December, 1991.

16 Document No. 6 is Panda's Quarterly Progress Report to
17 Florida Power, dated June 20, 1994.

18
19 Document No. 7 is a June 23, 1994 letter from Ted
20 Hollon to David Gammon.

1 Document No. 8 is a July 27, 1994 letter from Ted
2 Hollon to David Gammon.

3

4 Document No. 9 is an August 3, 1994 letter from David
5 Gammon to Ted Hollon.

6

7 Document No. 10 is an August 8, 1994 letter from Ralph
8 T. Killian to David Gammon.

9

10 Document No. 11 is an August 10, 1994 letter from Kyle
11 Woodruff to Robert D. Dolan.

12

13 Document No. 12 is an August 23, 1994 letter from
14 Barrett G. Johnson to Joseph D. Jenkins of the Florida
15 Public Service Commission.

16

17 Document No. 13 is an August 24, 1994 letter from
18 Joseph Jenkins of the Florida Public Service Commission
19 to Barrett Johnson.

20

1 Document No. 14 is Robert D. Dolan, "Financial
2 Incentives For Power Purchases: A Utility's View,"
3 presented at the Gulf Coast Cogeneration Association,
4 1992 Spring Meeting, held April 21, 1992.

5

6 Document No. 15 is an April 29, 1993 letter from Robert
7 Dolan to Mark Bentley, extending the milestone dates
8 under the contract.

9

10 III. THE CONTRACT BETWEEN PANDA AND FLORIDA POWER CORPORATION

11 Q. Please describe the process by which Panda responded to
12 Florida Power Corporation's Standard Offer Contract
13 Questionnaire in October 1991.

14

15 A. In September 1991, Panda received a Standard Offer
16 Contract Questionnaire from Florida Power (attached
17 hereto as "Exhibit 1"). Among the questions posed in
18 that questionnaire was the committed capacity of a
19 Panda facility. When Panda responded to that
20 questionnaire in October 1991 (attached hereto as

1 "Exhibit 2"), it offered to provide Florida Power with
2 74.9 MW of committed capacity for a thirty-year term.

3

4 Q. Was Panda successful in its bid for the Florida Power
5 Contract?

6

7 A. Yes. After reviewing Panda's response and the
8 responses of six other bidders, Florida Power chose to
9 contract with Panda. On November 19, 1991 and on
10 November 26, 1991, Florida Power petitioned the Public
11 Service Commission for authority to refuse standard
12 offer contracts from cogenerators other than Panda.

13

14 On October 22, 1992, the Commission granted the
15 petition, finding that "Florida Power Corporation acted
16 in the best interests of the ratepayers to select the
17 contract which after a comparative evaluation was
18 deemed by FPC to be the best available. We find that
19 this action is consistent with the language of Rule 25-
20 17.0832(3)(d), F.A.C." Order Granting Petition For
21 Authority For Florida Power Corporation To Refuse All

1 Standard Offer Contracts Except That Submitted By Panda
2 Kathleen, L.P. ("Order") at 3.

3

4 Q. What obligations did the Panda-Florida Power contract
5 impose on the parties with respect to the capacity of a
6 facility?

7

8 A. The contract discussed capacity in several paragraphs.
9 Among these references were the following:

10

11 (a) Paragraph 1.9 defined committed capacity as
12 the "KW capacity, as defined in Article VI hereof,
13 which the QF has agreed to make available on a firm
14 basis at the Point of Delivery.

15

16 (b) Paragraph 2.1 limited the availability of the
17 Agreement to the available capacity limitations
18 described in Schedule 1 of Appendix C and being either
19 a solid.waste facility or a facility having a Committed
20 Capacity of less than 75,000 KW.

21

1 (c) In Paragraph 6.1, Panda committed to sell and
2 arrange for the delivery of the Committed Capacity to
3 Florida Power Corporation. Further in that Article,
4 Florida Power contracted to purchase the Committed
5 Capacity made available to it at the Point of Delivery.

6 In addition, in the last sentence of that Article,
7 Panda agreed to sell and deliver or arrange for
8 delivery of the electric energy to the company and
9 Florida Power Corporation agreed to purchase such
10 electric energy as is made available for sale and
11 received by it at the Point of Delivery.

12
13 (d) Paragraph 6.2 states that the Committed
14 Capacity and electrical energy made available to
15 Florida Power shall be net of any electrical energy on
16 Panda's side of the Point of Ownership.

17
18 (e) Schedule 4 of Appendix C refers to a
19 multiplier for the On-Peak Capacity Factor ("OPCF")
20 which must be greater than or equal to the Committed

1 OPCF, clearly recognizing that on-peak capacity would
2 be greater than the Committed Capacity.

3
4 (f) Energy sales in excess of the committed
5 capacity as referred to in Paragraphs 6.1, 6.2 and 6.3
6 are clearly contemplated by Schedule 5 of Appendix C,
7 which describes an optional payment plan for such
8 excess energy sales. Appendix C encouraged Panda to
9 participate in this payment plan by providing such
10 excess energy for sale to Florida Power. While Panda
11 did not elect this payment program, the fact remains
12 that the availability of such a program would serve no
13 purpose absent the availability of energy production in
14 excess of the committed capacity, and Florida Power's
15 obligation to purchase that excess energy.

16

17 Q. How did the Panda-Florida Power contract bind the
18 parties to an express contract length?

19

20 A. Article 4.1 shows the term of the Agreement beginning
21 on the execution date (November 25, 1991) and

1 terminating on the last day of March 2025. Florida
2 Power acknowledged this in its November 1991
3 "Evaluation Of Standard Offer Proposals," (attached
4 hereto as "Exhibit 3"), repeatedly describing the
5 contract term as 30 years. This document was submitted
6 to the Commission by Florida Power in its petition for
7 authority to refuse standard offer contracts from
8 cogenerators other than Panda, and was admitted as
9 Exhibit 1 in that proceeding.

10

11 Q. Did Panda understand the term "committed capacity" to
12 be synonymous with the net size of the plant?

13

14 A. At no time did Panda ever understand committed capacity
15 to be synonymous with net size. The contract does not
16 state a net size limitation, and moreover, Florida
17 Power never indicated to Panda that it understood that
18 the term "committed capacity" represented a 74.9 MW
19 absolute size limitation. At all times, as described
20 below, Florida Power Corporation's representatives were
21 in accord with the irrefutable engineering realities

1 that to produce 74.9 MW of committed capacity, under
2 all conditions, a facility must have a net capacity
3 greater than 74.9 MW. From the very beginning of the
4 contracting process, in responding to a questionnaire
5 that Florida Power sent to Panda inviting submission of
6 a contract proposal, Panda indicated that its equipment
7 choice at that time was three Stewart & Stevenson/GE LM
8 2500 turbine generator sets. Such equipment, with a
9 heat generator and steam turbine-generator would be
10 capable of producing at least 87-95 MW at 59° F.

1 Q. You referred to irrefutable engineering realities
2 relevant to the capacity of a generator. What do you
3 mean by that?

4
5 A. There are a variety of factors that affect the actual
6 output of a generator. A generator's actual output
7 varies, depending on (a) the frame size, (b) age, (c)
8 maintenance, (d) ambient air temperature, (e) humidity,
9 (f) elevation above sea level, (g) BTU rating of the
10 fuel from time to time, (h) condenser cooling water
11 temperature, and many other factors. It ignores these
12 realities to speak of a generating unit as having a
13 specific capacity without defining all the variable
14 conditions. It also follows that the capacity of a
15 generating unit will vary with changes in these
16 variables. As a practical matter, to comply with its
17 contractual commitment to produce the committed
18 capacity for thirty years during summer conditions or
19 other challenging environmental conditions while
20 complying with Florida's strict emissions regulations,
21 Panda had to be acutely sensitive to each of these

1 variables during the process of selecting an
2 appropriate equipment configuration.

1 IV. "STANDARD OFFER" CONTRACTS AND "NEGOTIATED" CONTRACTS

2 Q. What experience did Panda have with the contractual
3 provisions in Florida Power's "negotiated" contracts?
4

5 A. In January and February 1991, Panda participated in the
6 process by which Florida Power selected a "negotiated
7 contract" for the purchase of firm capacity and energy
8 from a qualifying facility. See "Negotiated Contract
9 For The Purchase Of Firm Capacity And Energy From A
10 Qualifying Facility (attached hereto as "Exhibit 4").
11 This process contained no true negotiation, rather
12 consisting of Florida Power providing qualifying
13 facilities ("QF") with proposed contracts and then
14 soliciting suggestions from those QF's. Florida Power
15 then reviewed the suggestions and decided which
16 suggestions it would accept. Those accepted
17 suggestions, and any other new provisions that Florida
18 Power decided to incorporate, were incorporated into
19 all contracts, standardizing the "negotiated contract."
20

1 In those discussions, Panda was told by Florida Power
2 that there would be no negotiation of contract terms,
3 and "negotiated contracts" containing changes when
4 returned by QF's to Florida Power would be disfavored.

5
6 I have since learned that the "negotiated contract" and
7 the standard offer contract were developed by Florida
8 Power from a "model contract." Hence, it is
9 unsurprising that there are so many striking
10 similarities in the provisions of those contracts,
11 especially those provisions relevant to this dispute.

12

13

14 V. PANDA'S DILIGENT ATTEMPTS TO MEET THE IN-SERVICE DATE

15 Q. What did Panda personnel do to meet the in-service date
16 set forth in the contract?

17

18 A. After the execution of the contract, Panda personnel
19 began to solicit bids to construct the facility.
20 Initially, we had planned to construct a plant using a
21 gas turbine with an average output of between 75 and 95

1 MW. However, after examining the available turbines
2 and analyzing projected Panda Kathleen operations with
3 respect to the temperatures, humidity and elevation
4 common to Polk County and considering typical equipment
5 degradation patterns and state environmental mandates,
6 and the other factors discussed above on pages 10 and
7 11, it became clear that it would be impossible for
8 Panda to ensure that it could produce the committed
9 capacity of 74.9 MW for each day of the thirty year
10 contractual term without a net generating capacity of
11 at least 100 MW. Therefore, we decided to consider a
12 turbine with power output of 100 MW to ensure that we
13 could always meet the contractually agreed committed
14 capacity and avoid defaulting on our contractual
15 obligations to Florida Power.

16
17 In this process, a change in the environmental
18 regulations promulgated by the Florida Department of
19 Environmental Protection ("FDEP") played a critical
20 role. In 1992, by the time that this Commission had
21 granted Florida Power's petition to refuse all standard

1 offer contracts other than Panda's, the FDEP had
2 lowered its acceptable limit on a gas combustion
3 turbine's nitrogen oxide emissions from 25 parts per
4 million ("PPM") to 15 PPM. As a result, certain
5 configurations Panda had previously considered would no
6 longer meet the standards set by the FDEP's
7 regulations.

8

9 Q. What discussions did Panda have with Florida Power
10 after Florida Power and Panda executed their contract,
11 to ensure that Panda would meet the contractual
12 milestones?

13

14 A. Beginning in January 1992, Panda representatives and
15 Florida Power representatives had numerous face-to-face
16 discussions and telephone conferences to implement the
17 contract and prepare for the in-service date.

18

19 On January 9, 1992, I attended a meeting with Florida
20 Power to discuss our agreement and several areas that
21 needed clarification. Allen Honey, whom I believe was

1 Florida Power Corporation's Senior Cogeneration
2 Engineer at that time, led the Florida Power team in
3 attendance. At that meeting, Florida Power told us
4 that while it would pay Panda for our energy output in
5 excess of 74.9 MW, the contract limited their
6 obligation to pay for capacity in excess of 74.9 MW.
7 This comported with our understanding of our agreement
8 as well as with the engineering reality discussed
9 above, namely that a facility capable of producing 74.9
10 MW of output at all times during a thirty year contract
11 will, much of the time, be capable of generating more
12 than 74.9 MW.

13
14 In addition, at that January meeting, we discussed the
15 fact that while the parties had agreed to a 30 year
16 contract term and the contractual terms themselves
17 reflected this, Schedule 3 to Appendix C to the
18 contract only showed 20 years of payments. Florida
19 Power acknowledged that this was an inadvertent error
20 that needed to be corrected. Florida Power agreed that
21 (1) Panda would receive capacity payments for the

1 entire 30-year term of the contract, and (2) Florida
2 Power's payments would escalate over the contract term
3 not shown in the tables in Schedule 3 to Appendix C at
4 a rate of 5.1% per year.

5
6 Florida Power stated that Schedule 3 was an
7 illustrative table only and not a modification of the
8 30 year term. They explained that contract payments
9 for years 21-30 of the contract had been omitted from
10 Schedule 3 simply because the applicable regulations
11 required illustration of only ten years or more
12 of payments.

13
14

15 Q. Was this consistent with Florida Power's previous
16 evaluation of the value of Panda's proposal to the
17 ratepayers and to Florida Power?

18

19 A. Yes. When it had decided to contract with Panda in
20 October 1991, Florida Power had used a calculus of
21 factors to rate the proposals. In the evaluation

1 containing that calculus, which it submitted to this
2 Commission in November 1991, Florida Power had rated
3 Panda's proposal as clearly the best offer for the
4 rate-payers and for avoiding expensive replacement
5 power. In its calculus, size, which Florida Power
6 defined as "the committed capacity," was weighted as
7 comprising 10% of the ranking. On the other hand,
8 feasibility was weighted at 40% and reliability at 30%.
9 Location and developer qualifications were weighted
10 equally with size. In its October 22, 1992 Order
11 granting Florida Power's petition for authority to
12 refuse all standard offer contracts except that
13 submitted by Panda, this Commission held that "the
14 criteria used to evaluate the various proposals were
15 valid, reasonable and fairly applied." Order at 5.

16

17 Q. Did Florida Power's behavior remain consistent with its
18 November 1991 evaluation of Panda's proposal?

19

20 A. No. In the later half of 1994, Florida Power rather
21 suddenly began taking the approach that it was

1 unwilling to state in writing that Panda's equipment
2 configuration was permissible under our contract. Up
3 until the middle of 1994, Florida Power had
4 consistently agreed with Panda representatives that a
5 plant with a net generating capacity under certain
6 conditions in excess of 74.9 MW was a technical
7 necessity, and had suggested not raising the issue with
8 the Florida Public Service Commission so as to not
9 interrupt the challenge by ARK Energy to Florida
10 Power's having chosen our contract. However, in the
11 second half of 1994, Florida Power abruptly refused to
12 sign any documents or clarification letters for lenders
13 confirming our equipment choice.

14
15 Until this time, Florida Power had treated Panda as
16 offering the most feasible and reliable option for its
17 customers and shareholders. After its sudden change,
18 whereas facility size was previously not an issue, it
19 suddenly emerged as the 100% criterion. In revising
20 its evaluation process, Florida Power acted in a manner

1 inconsistent with its previous representations and its
2 November 1991 ranking process.

3
4 Q. Do you know of any reason for this remarkable change in
5 attitude by Florida Power?

6
7 A. In an internal, confidential December 1993 document
8 entitled "Cogeneration Review," Florida Power
9 essentially declared its intention to limit, if not
10 undermine, QF contracts whenever possible. See
11 "Cogeneration Review," dated December 1993 (attached
12 hereto as "Exhibit 5"). In that document, in
13 discussing the QF contracts it had already bound itself
14 to for nearly 1,100 MW of capacity, Florida Power
15 declared that "at the present time, the QF contracts
16 are not cost effective when compared to FPC built
17 natural gas fired combined cycle units.... [Florida
18 Power's] resources need to be assigned to properly
19 evaluate and implement, if feasible, all of the options
20 available to increase the cost-effectiveness of the QF
21 contracts. These contracts pose a significant threat

1 to FPC's competitive position." See Cogeneration
2 Review at 4, 5. There, Florida Power cited several
3 miscalculations it had made on issues such as the
4 capacity dropout rate and the cost-effectiveness of its
5 avoided cost projection. At no time did it refer to
6 any problem due to Panda or any other QF.

7
8 Q. What did Panda do to try to resolve this dispute?

9
10 A. Florida Power demonstrated its revised attitude
11 following Panda's June 3, 1994 application to the
12 Florida Department of Environmental Protection ("FDEP")
13 for an Air Permit for Construction of the facility with
14 a nominal output of 115 MW. In that application,
15 Panda had submitted two configurations: one based on
16 the General Electric ("GE") 7EA Combustion turbine and
17 the other based on the ABB Power Generation ABB 11N1.

18
19 Representatives of Panda and Florida Power met on June
20 22, 1994 to discuss the excess energy which could be
21 produced by either of those configurations. At that

1 meeting, Panda informed Florida Power of this submittal
2 and equipment configurations in Panda's Quarterly
3 Progress Report dated June 20, 1994. See Panda's
4 Quarterly Progress Report to Florida Power, dated June
5 20, 1994. (attached hereto as "Exhibit 6").

6
7
8 Following discussions, the parties agreed that Panda
9 would compose a clarification letter for both parties'
10 signatures confirming the equipment configuration and
11 the sale of excess energy produced by the facility to
12 Florida Power.

13
14 On June 23, 1994, Panda sent a clarification letter to
15 Florida Power for its signature memorializing the
16 parties' June 22, 1994 discussions. See June 23, 1994
17 letter from Ted Hollon to David Gammon (attached hereto
18 as "Exhibit 7"). Yet, Florida Power refused to sign
19 this letter. On July 27, 1994, Panda sent a revised
20 clarification letter to Florida Power for its signature
21 stating, among other things, that the two

1 configurations submitted to the FDEP were being
2 permitted in order to meet the committed capacity
3 requirements of the contract as well as the current
4 environmental requirements in the State of Florida.
5 See July 27, 1994 letter from Ted Hollon to David
6 Gammon (attached hereto as "Exhibit 8"). The revised
7 letter further stated that although under certain site
8 operating conditions the facility's output would be 115
9 MW, Florida Power would not be obligated to make any
10 capacity payments above the 74.9 MW of committed
11 capacity. Finally, the letter stated that Panda had no
12 objection to Florida Power submitting this letter to
13 this Commission if Florida Power deemed it necessary.

14
15
16 On August 3, 1994, Panda received a reply from Florida
17 Power refusing to sign the revised letter. See August
18 3, 1994 letter from David Gammon to Ted Hollon
19 (attached hereto as "Exhibit 9"). In its reply,
20 Florida Power stated that it did not agree that the
21 construction of a 115 MW facility was consistent with

1 the contract. However, Florida Power ignored the issue
2 of presenting any dispute to this Commission.

3

4 In response, Panda initiated telephone conversations
5 with Florida Power to resolve these new differences.
6 These conversations seemed to have proved successful.
7 As a result, on August 8, 1994, Panda submitted a third
8 letter to Florida Power for its signature under the
9 impression that this second revised clarification
10 letter would be acceptable to Florida Power. See
11 August 8, 1994 letter from Ralph T. Killian to Robert
12 Dolan (attached hereto as "Exhibit 10"). This letter
13 reiterated that the facility size was 115 MW and added
14 that Panda would submit the executed letter to the
15 Commission to determine if Commission approval is
16 required. Nothing in that letter prevented Florida
17 Power from intervening or from taking any position in
18 any such action at the Commission. Florida Power
19 refused to sign this clarification letter as well. In
20 a subsequent telephone conversation, Florida Power

1 simply told Panda that it saw no advantage in Florida
2 Power signing the letter.

3

4 On August 10, 1994, Panda sent a letter to Mr. Dolan
5 re-emphasizing Panda's understanding that the equipment
6 it had selected was appropriate under the Contract.

7 See August 10, 1994 letter from Kyle Woodruff to
8 Robert D. Dolan (attached hereto as "Exhibit 11").

9 Panda also informed Mr. Dolan that it intended to
10 consult with the Commission to determine if this issue
11 required Commission approval..

1 Q. Did Panda discuss Florida Power's apparent concerns
2 about the equipment configuration with any
3 representative of the Florida Public Service
4 Commission?

5
6 A. Yes. On August 15, 1994, Panda representatives met
7 with Joseph Jenkins, Director of the FPSC's Division of
8 Electric and Gas, as well as Robert Trapp and Thomas
9 Ballenger of the FPSC. In that meeting, Panda's
10 representatives set forth the two specific equipment
11 configurations it was considering, and the fact that,
12 "under optimal conditions these units can produce in
13 the 115 MW range." In response, Mr. Jenkins and his
14 colleagues agreed with Panda that Panda's generation of
15 net generating capacity of 115 MW was "consistent with
16 Panda's standard offer contract and is not a contract
17 change that would require Florida Public Service
18 Commission approval." See August 24, 1994 letter from
19 Barrett Johnson to Joseph Jenkins of the Florida Public
20 Service Commission (attached hereto as "Exhibit 12").
21

1 Moreover, Mr. Jenkins stated that he had discussed
2 this issue with Bob Dolan of Florida Power Corporation
3 and Mr. Dolan concurred with Mr. Jenkins that this was
4 a contractual matter between Panda and Florida Power
5 that did not require PSC adjudication. See August 23,
6 1994 letter from Joseph Jenkins of the Florida Public
7 Service Commission to Barrett Johnson (attached hereto
8 as "Exhibit 13"). Based upon the express assurances of
9 Mr. Jenkins, Panda moved forward with performing under
10 the contract, continued with permitting the above
11 equipment configurations, and felt it had satisfied the
12 issue of facility size, despite Florida Power's lack of
13 cooperation or initiative.

14

15 At no time during this process or at any other time
16 prior to filing the instant action did Florida Power
17 give any indication that it intended to reintroduce
18 this matter before the Commission. Panda only received
19 notice of Florida Power's true intent after Florida
20 Power had filed its Petition for Declaratory Statement
21 with this Commission on January 25, 1995.

1

2 VI. CALCULATION OF PAYMENTS FOR YEARS 21 THROUGH 30 OF THE
3 CONTRACT4 Q. How are capacity payments to be made to Panda for years
5 21 through 30 of the contract?

6

7 A. Payments for years 21 through 30 are to be made by
8 applying the value deferral method. Payment through
9 that method is consistent with the FPSC's regulations.

1 VII. BENEFIT OF THE CONTRACT TO FLORIDA CITIZENS

2

3 Q. How would Florida Power's rate payers benefit from a
4 Panda facility that provided energy in excess of the
5 committed capacity?

6

7 A. For the energy that Panda produces in excess of the
8 committed capacity, Florida Power would be able to
9 purchase that energy from Panda at a low rate. Under
10 the contract, Florida Power is entitled to do so as it
11 would pay Panda solely for the energy cost, without any
12 obligation to pay for the capacity based on the per-KW
13 cost of Florida Power's avoided simple-cycle combustion
14 turbine for 74.9 MW of capacity. As contemplated by
15 the contract, this would provide Florida Power with
16 free capacity. With the production of 115 MW of
17 energy, Florida Power would receive 40.1 MW of free
18 capacity. This would enhance the reliability and
19 profitability of Florida Power's service.

20

21 Moreover, as Robert Dolan, Florida Power's Manager of
22 Cogeneration Contracts and Administration, told the

1 members of a cogeneration association six months after
2 Florida Power executed its contract with Panda and six
3 months before this Commission approved the contract,
4 "The expected future need for capacity is great,
5 therefore it is virtually certain that this
6 [contracted] capacity will be needed. Florida's
7 population keeps expanding even during recessionary
8 periods, planned reserve margins are low, and there is
9 significant reliance on demand-side management. These
10 factors assure that there will be a market for this
11 capacity FPC has under contract." See Robert D. Dolan,
12 "Financial Incentives For Power Purchases: A Utility's
13 View," presented at the Gulf Coast Cogeneration
14 Association, 1992 Spring Meeting Held April 21, 1992
15 (attached hereto as "Exhibit 14").

16
17

18 VIII. WHAT IMPACT DID FLORIDA POWER'S ACTIONS HAVE ON PANDA

19 Q. What effect has Florida Power's refusal to honor its
20 contract had on Panda?

21

1 A. Florida Power's actions in attempting to dishonor its
2 contractual obligation and seeking to rewrite the
3 Panda-Florida Power contract to impose new obligations
4 on Panda have had the absolutely predictable result of
5 bringing Panda's financing of the Panda Kathleen
6 facility to a halt. As no lender will offer financing
7 to a party for a project of this magnitude when the
8 other party is doing everything in its power to avoid
9 its contractual obligations, Panda's commitment has
10 been placed on hold pending resolution of these
11 disputed issues.

12
13 By December 16, 1994, ABB Power Generation ("ABB") had
14 begun engineering and material procurement to meet the
15 required delivery dates. By January 11, 1995, Panda
16 had obtained all construction permits and efforts were
17 well under way to obtain financing and an equity
18 partner for the project. Panda updated Florida Power
19 on or about January 1, 1995, about this significant
20 progress as required by the Contract.

21

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

Today, as there is no immediate financing available, Florida Power's actions have forced Panda to cancel its order for combustion and steam turbine generators with its supplier ABB and Panda has lost its place in the ABB production schedule. In addition, Panda has been forced out of the queue for the manufacture of other major components of its facility.

The forced delay in Panda's development of the project will be greater than the elapsed time lost from Florida Power's attempts to disown its contract. In other words, a day-for-day extension will not restore Panda to the position it occupied on the day prior to Florida Power's petition. Major pieces of generating equipment with long lead times are built by their manufacturer only when there is a firm equipment order in place and, if there is not a timely notice to proceed to the manufacturer, it normally means lengthy delays because the offering company will have to "go back to the end of the line" and the lead time varies greatly depending

1 upon the volume of orders received by the manufacturer
2 at any given time.

3
4 Each of these activities is part of a critical time
5 path to commercial operation and to meeting the
6 milestones set forth in the Panda-Florida Power
7 contract, as amended by the April 29, 1993 letter from
8 Robert Dolan to Mark Bentley (attached hereto as
9 "Exhibit 15"). Panda's ability to meet the
10 construction start date of January 1, 1996 and the in-
11 service date of January 1, 1997 has been jeopardized
12 solely as a result of Florida Power's actions in
13 attempting to disown the contract.

14
15 Further, any delay beyond the expected date for
16 commercial operations costs Panda money in real terms
17 even if the milestone dates are extended, because Panda
18 will not receive capacity payments or revenues from the
19 sale of energy when they were expected pursuant to the
20 Contract.
21

1 Moreover, Panda has already spent substantial sums to
2 perform under the contract, including, but not limited
3 to: purchasing land for the project site; contracting
4 for environmental studies and permitting on the project
5 site; surveying of the project site; paying Florida
6 Power the \$750,000 security deposit, and paying fees to
7 contractors, consultants, lenders, and attorneys. From
8 1991 to 1995, Panda expended these funds to ensure that
9 it would meet a supplier's production schedule, comply
10 with all Florida permitting requirements and meet the
11 commercial in-service date.

12

13 In sum, Panda will be unable to discover the ultimate
14 effect of Florida Power's actions at least until a
15 final adjudication of this contractual dispute has been
16 obtained.

1 Q. Does Panda remain ready, willing and able to build this
2 facility and commit 74.9 MW of capacity for 30 years as
3 called for in the contract?

4
5 A. Yes.

6
7 Q. What is it you want this commission to do?

8
9 A. Deny Florida Power's petition. Panda has asked this
10 Commission to rule that it does not have jurisdiction
11 to now go back and reinterpret a contract that it has
12 approved on two separate occasions or, alternatively,
13 to now rule that the Panda-Florida Power contract is
14 void. Panda believes that issues of interpretation of
15 this contract should be resolved by the courts. Of
16 course, so long as this commission believes it has
17 jurisdiction, Panda asks for a ruling denying Florida
18 Power's petition and holding that (1) the equipment
19 configuration Panda has chosen does not violate the
20 contract, (2) Florida Power is obligated to pay for the
21 committed capacity at the rate set forth in Appendix C

1 as escalated at the same rate for the final 10 years,
2 and (3) extending the contractual milestone schedule to
3 provide Panda with sufficient time to meet a revised
4 construction start date and a revised in-service date.

5 Anything less will destroy this cogeneration project
6 in violation of the principles of PURPA, to the
7 detriment of Florida's citizens.

8

9 Q. Does this conclude your testimony?

10

11 A. Yes, it does.

1 BY MR. ROSS:

2 Q Mr. Killian, would you please give us a
3 summary of your direct testimony?

4 A Thank you. My prefiled direct testimony
5 relates -- I relate to the facts underlying Panda's
6 contract with Florida Power Corporation and my knowledge
7 of involvement of Panda's communications with Florida
8 Power Corporation concerning some of the issues covered
9 in this proceeding. The standard offer contract
10 provides for a term of 30 years. This standard offer
11 contract requires that Panda supply at least 74.9
12 megawatts of committed capacity to Florida Power
13 Corporation under all conditions. Standard offer
14 contract does not limit the size of the facility. In
15 fact, the initial facility design at the time the
16 standard offer contract was entered into was for a net
17 output of between 87 and 95 megawatts under normal
18 conditions. There were no objections raised by Florida
19 Power Corporation to our size or term until the second
20 half of 1994.

21 Because of climate conditions, performance
22 degradations and revised emission standards in the state
23 of Florida, Panda was required to design a facility of
24 115 megawatts of net generating capacity.

25 I was personally at a meeting in early 1992

1 where Florida Power Corporation representatives
2 acknowledged that our facility would produce in excess
3 of 74.9 megawatts and that Florida Power Corporation
4 would accept and pay for such excess energy. Further,
5 Florida Power Corporation acknowledged in this meeting
6 the discrepancy between the 30-year term of the contract
7 and the 20-year capacity payment schedule, and they
8 acknowledged that that was an oversight and would need
9 to be corrected.

10 They also acknowledged in that meeting that
11 Panda would receive capacity payments for 30 years. In
12 1994 and 1995, I was involved in several attempts to
13 obtain clarification from Florida Power Corporation
14 regarding the meaning of certain terms of the contract.
15 However, during that time Florida Power Corporation
16 adopted a policy to avoid its contracts with
17 cogenerators and began creating disputes and issues in
18 an attempt to prevent Panda from building its plant.

19 During the summer of '94, Panda worked with
20 Florida Power Corporation to obtain a clarification, but
21 Florida Power Corporation would not sign the
22 clarification letter.

23 And in a final blow, Florida Power Corporation
24 filed this proceeding with the Commission. Florida
25 Power Corporation's actions brought Panda's efforts to

1 finance and build this plant to a halt. No one would
2 lend money with Florida Power Corporation challenging
3 the validity of this contract. Prior to Florida Power
4 Corporation's action, Panda was well on the way towards
5 obtaining financing for the project and construction of
6 the plant. In order for Panda to get back where it was
7 before the filing of Florida Power Corp.'s actions,
8 Panda would need a milestone extension to put it back in
9 the place it was prior to Florida Power Corp.'s filing
10 in this proceeding with the Commission. That's my
11 summary.

12 MR. ROSS: Thank you, Mr. Killian. We tender
13 Mr. Killian for cross-examination.

14 CHAIRMAN CLARK: Mr. McGee.

15 CROSS-EXAMINATION

16 BY MR. MCGEE:

17 Q Mr. Killian, you referred in your summary to a
18 meeting between Panda representatives and Florida Power
19 representatives in early 1992. Would that be the same
20 meeting that Mr. Gwynn just testified to on January 9th?

21 A Yes, it would.

22 Q Would you agree then that even with respect to
23 the representatives of Panda itself, that there was a
24 lack of agreement as to just what exactly was concurred
25 to by Florida Power at that meeting?

1 COMMISSIONER KIESLING: Could you speak into
2 the mike?

3 MS. BROWN: I can't hear either.

4 COMMISSIONER KIESLING: When you turn your
5 head that way, the mike is behind you. Sound waves
6 don't move that way.

7 WITNESS KILLIAN: I'm sorry, could you repeat
8 the question?

9 BY MR. MCGEE:

10 Q Would you agree then that even amongst Panda
11 representatives in attendance at that meeting, that
12 there was a lack of agreement as to what Florida Power
13 had committed?

14 A I will agree that I disagree with Mr. Gwynn on
15 several of the issues.

16 Q But do you recognize that Mr. Gwynn was at the
17 meeting?

18 A Mr. Gwynn was at the meeting on January 9th,
19 1992, that's correct.

20 Q Mr. Killian, would I be correct in
21 generalizing about your testimony, that it's intended to
22 support the position that Panda's proposed 115 megawatt
23 capacity and Panda's receipt of capacity payments for 30
24 years is consistent with the Panda/Florida Power
25 standard offer contract?

1 A That is correct.

2 CHAIRMAN CLARK: Mr. McGee, maybe you should
3 move to the next chair over. I'm having difficulty
4 hearing you, and I think the court reporter is too. So
5 if you'd move to the other microphone maybe and turn it
6 on and leave them both on, maybe that will help.

7 MR. MCGEE: Stereo?

8 CHAIRMAN CLARK: You need to get close to the
9 microphone. These are not like the ones in the other
10 building, and it's important that you get right up to
11 the microphone.

12 BY MR. MCGEE:

13 Q I think you agree that you're contending that
14 your position is consistent with the standard offer
15 contract. What I would like to know is, is it your
16 position that the size of Panda's facility and the
17 duration of capacity payments don't need to be
18 consistent with the Commission's rules that govern
19 standard offer contracts?

20 A I have not -- I'm not an expert in Commission
21 rules. I would say that our contract and our
22 understanding of the 30-year issue is consistent with
23 the contract.

24 Q Your understanding of the 30-year issue is
25 consistent with the contract?

1 A Contract.

2 Q Is it consistent with the rules?

3 A To my understanding, there is a -- in the
4 schedule that shows the capacity payments, there is a
5 footnote in there that indicates that the table is for
6 illustrative purposes, and that table, that the capacity
7 payments are calculated in accordance with Commission
8 rules. So I guess maybe the answer to your question is
9 that the 30-year term and the calculation of those
10 payments would be consistent -- since it did so indicate
11 in the footnotes, would be consistent with Commission
12 rules.

13 CHAIRMAN CLARK: Mr. Killian --

14 WITNESS KILLIAN: But then, once again, I'm
15 not an expert in the Commission rules.

16 CHAIRMAN CLARK: Let me ask you a question.
17 Do you know if the Commission rule calls for the
18 contract to -- calls for the capacity payments to be
19 made over the same term as the avoided unit would have
20 been in service?

21 WITNESS KILLIAN: I know -- I've read the
22 Commission rules and I see the -- I see the language
23 you're referring to that talks about the life of the
24 facility. That is correct. I see that.

25 CHAIRMAN CLARK: That's being avoided?

1 WITNESS KILLIAN: I didn't see that
2 qualification. I saw that the life of the facility was
3 mentioned in the Commission rules.

4 CHAIRMAN CLARK: What does life of the
5 facility mean then?

6 WITNESS KILLIAN: It would be how long a
7 facility would be in existence.

8 CHAIRMAN CLARK: Is it your facility or the
9 facility being avoided?

10 WITNESS KILLIAN: I would view that it
11 would -- in the case of the term of the contract, it
12 would be the life -- related to the life of our
13 facility.

14 CHAIRMAN CLARK: Let me ask it a different
15 way. Is this a project that's being done under PURPA?
16 Was this a project being done under PURPA?

17 WITNESS KILLIAN: Yes, ma'am.

18 CHAIRMAN CLARK: What does PURPA call for in
19 terms of the costs to be paid? Is it connected to the
20 cost of the avoided unit?

21 WITNESS KILLIAN: It's connected to the
22 avoided cost of the project.

23 CHAIRMAN CLARK: Isn't the theory of PURPA is
24 that the ratepayers will be no worse off -- that whether
25 they get energy from your project or one built by FPC,

1 the cost to them is going to be the same?

2 WITNESS KILLIAN: It's my understanding.

3 CHAIRMAN CLARK: Okay. If that's the case,
4 doesn't it make sense to make the capacity payments
5 equivalent to the unit avoided?

6 WITNESS KILLIAN: Not necessarily.

7 CHAIRMAN CLARK: Why not? Why don't you wind
8 up paying more if you have capacity costs beyond the
9 avoided unit?

10 WITNESS KILLIAN: Yes, ma'am. It's my
11 understanding that in the value of deferral method, what
12 you're doing is you're looking at year-by-year deferral
13 of a project, and each year that you defer putting that
14 project into service, you're avoiding a certain cost.
15 And if you defer putting that unit in service for 30
16 years, you are in fact avoiding a cost for 30 years.

17 CHAIRMAN CLARK: But it's the avoided unit
18 that has the life of 30 years in the example you've
19 given then?

20 WITNESS KILLIAN: No, ma'am, you're avoiding
21 putting that unit in service for a period of 30 years,
22 and as I understand it that's what's being avoided is
23 putting that unit in for the term of the contract.

24 CHAIRMAN CLARK: So you're making a
25 distinction between the life of the unit that would have

1 been put in and the number of years it can be avoided?

2 WITNESS KILLIAN: Yes.

3 CHAIRMAN CLARK: Okay. Go ahead, Mr. McGee.

4 BY MR. MCGEE:

5 Q Just to pursue that. Under that viewpoint
6 then, once you had a contract that committed some
7 capacity to avoid a unit, even if the unit that's
8 avoided has a life of, say, 20 years, in this case you
9 could keep deferring it forever and in theory it would
10 still be appropriate?

11 A In my understanding that's correct.

12 Q And that would be true irrespective of the
13 changes in technology and in cost and all the other
14 circumstances that surround the operation and the
15 planning for these kind of units?

16 A Well, it would be true consistent with the
17 contract, with the contract term, that's correct.

18 Q Do you have a copy of the contract with you?
19 In looking through your exhibits I don't think that you
20 did, but I noticed that it was an exhibit to
21 Mr. Lindloff's testimony. Do you have his there?

22 COMMISSIONER KIESLING: While you're looking,
23 you're creeping down the table. Thank you. I have an
24 extra one if you need it.

25 WITNESS KILLIAN: I have the negotiated

1 contract.

2 MR. ROSS: I don't think he has it.

3 WITNESS KILLIAN: I don't have it.

4 BY MR. MCGEE:

5 Q Now that you have that there, I notice that in
6 your testimony you state that, on Page 12, Line 15, that
7 the contract does not state a net size limitation, and
8 that was why I asked you to review the contract.

9 Would you -- have you verified that that is an
10 accurate quote from your testimony?

11 A That's correct.

12 Q Would you look at -- it's designated Sheet 2
13 of 88 of Mr. Lindloff's exhibit. It's the title page of
14 the contract.

15 A Yes, I see that.

16 Q Would you read the title at the top of the
17 page, the one that begins standard offer contract?

18 A Standard offer contract for the purchase of
19 firm capacity and energy from a qualifying facility less
20 than 75 megawatts, or a solid waste facility.

21 Q Does the phrase "a qualifying facility less
22 than 75 megawatts" suggest to you consistency with the
23 qualifying facility of 115 megawatts?

24 A I don't understand your question.

25 Q Well, if the contract refers to it being for a

1 facility less than 75 megawatts, and you've indicated
2 that your facility is consistent with the contract, I
3 want to know if that phrase in the title suggests an
4 inconsistency.

5 A The phrase in the title suggests nothing to
6 me, but I'll refer you to Article 2 of the contract,
7 under availability, the second 2.1.2, where it
8 elaborates a little bit on the title, I guess you would
9 call it. It says, "The facility being a solid waste
10 facility pursuant to FPSC Rule 25-17.091, or the
11 facility having a committed capacity which is less than
12 75,000 kilowatts." So what it refers to me is that --
13 what it means on the title that I just read, it refers
14 to the committed capacity of the contract, not the net
15 generating output of the facility.

16 Q Would you agree with me, Mr. Killian, that we
17 have two different terms that we're using here. We have
18 some discussion that's taken place in the hearing that
19 has to do with the size of the facility itself, the
20 hardware, and then we have a discussion about the size
21 or the amount of committed capacity in the contract.
22 Now, when the title of the contract refers to a
23 facility, does that suggest to you the physical plant?

24 A I didn't hear the last point. You faded off
25 again.

1 Q I'm sorry. Does the reference to a qualifying
2 facility less than 75 megawatts suggest to you that in
3 that instance we're talking about the physical plant,
4 the hardware?

5 A No, that doesn't suggest that to me.

6 Q It doesn't. Would you look at Section -- it's
7 on Sheet 6 of 88 of Mr. Lindloff's exhibit. It's
8 Section 1.1 under definitions, and in particular,
9 Section 1.1.5. Would you agree with me, Mr. Killian,
10 that the Commission's rules governing standard offer
11 contracts are incorporated into and made a part of the
12 standard offer contract?

13 A Yes.

14 Q And, in fact, those rules are physically
15 attached to the contract; aren't they?

16 A Yes.

17 Q And they're in Appendix E?

18 A That's correct.

19 Q Would you turn back into Appendix E of the
20 contract where the rules are listed? I would like to --
21 it's on Page 72 of 88.

22 A Okay.

23 Q I would like to ask you to -- I would like to
24 ask you to look at Section 25-17.083, which is the rule
25 titled Firm Capacity and Energy Contracts, and look at

1 Section 3-A, which is at, actually, the bottom of the
2 next page where the rule begins, there's a reference to
3 a 17-44 for a page number at the bottom. Do you see the
4 section I'm talking about, Section 3-A?

5 A Yes.

6 Q Would you read the language in that short
7 section?

8 A "Upon petition by a utility or pursuant to a
9 Commission action, each public utility shall submit for
10 Commission approval a tariff or tariffs in a standard
11 offer contract or contracts for the purchase of firm
12 capacity and energy from small qualifying facilities
13 less than 75 megawatts, or from solid waste facilities
14 as defined in Rule 25-17.091."

15 Q Now, does the reference in that subsection to
16 small qualifying facilities less than 75 megawatts
17 suggest to you that it's -- that a 115 megawatt unit
18 would be consistent with this aspect of the standard
19 offer contract?

20 A What it suggests to me is that the committed
21 capacity cannot be greater than 74.9 megawatts.

22 Q But this language doesn't say committed
23 capacity, does it?

24 A But that's what that suggests to me. That's
25 what you asked.

1 Q Would you turn the page, sir, and look at
2 rule -- at Subsection C? It's towards the top of the
3 next page, and I would ask you if you would read the
4 first sentence for me, please.

5 A "In lieu of a separately negotiated
6 contract" -- is this the one?

7 Q Yes.

8 A -- "a qualifying facility under 75 megawatts,
9 or a solid waste facility as defined in Rule
10 25-17.091(1), F.A.C., may accept any utility's standard
11 offer contract."

12 Q And then would you read the following
13 sentence?

14 A "Qualifying facilities which are 75 megawatts
15 or greater may negotiate contracts for purchase of
16 capacity and energy pursuant to Subsection 2."

17 Q Thank you. Again, this language -- does this
18 language suggest to you compatibility of a 115 megawatt
19 unit with the -- with these terms that have been
20 incorporated into the standard offer contract?

21 A Well, this language here, once again, suggests
22 to me that the -- that for projects of greater than 75
23 megawatts or greater, you would go to a -- 75 -- greater
24 of committed capacity, you would go to a negotiated
25 contract. That's what that suggests to me.

1 Q You would read then projects and facility as
2 being synonymous terms?

3 A That's correct.

4 Q What is the size of the Panda project?

5 A The nominal capacity is around 115 megawatts.

6 Q So under this language then, applying that
7 rule, you would go to a negotiated contract?

8 A No, I said committed capacity. A project with
9 a committed capacity of 74.9 megawatts would then go
10 to -- or a facility for 75 -- 74.9 megawatts, would go
11 to a negotiated contract.

12 Q Not meaning to quibble with you, but I thought
13 you just agreed that you viewed the project and the
14 facility as being synonymous terms.

15 A They are.

16 Q And if this says that a facility of greater
17 than 75 megawatts should use a negotiated contract, not
18 a standard offer contract --

19 A I said a committed capacity of 74.9
20 megawatts. See, what -- the first section referred to a
21 committed capacity of 75 megawatts or less. This refers
22 to a committed capacity of 75 megawatts or greater.

23 Q So then you're, in effect, saying that
24 facility, project and committed capacity are all
25 synonymous terms?

1 A No, I'm not. I'm only saying that committed
2 capacity is the measure that's stated here in this
3 particular provision.

4 Q Well, the verb that -- the word that's
5 actually used is the word "facility"; is that correct?

6 A Qualifying facilities -- it's actually
7 plural. QF is a word of art. Qualifying facility is a
8 word of art. That describes the fact that it is a
9 PURPA-based contract. It's not trying to categorize
10 anything else other than that. It's trying to define
11 what kind of facility. It's a qualifying facility.

12 Q And the use of the word "facility," then, is
13 comparable to committed capacity under your
14 understanding?

15 A No.

16 CHAIRMAN CLARK: But it is for purposes of the
17 rule, as I understand your testimony.

18 WITNESS KILLIAN: I guess maybe I don't
19 understand the question. I don't understand his
20 question.

21 BY MR. MCGEE:

22 Q Well, you've indicated that this rule, which
23 is part of the contract, both in subsection A and
24 subsection C, limits a standard offer contract to a
25 small qualifying facility less than 75 megawatts, and

1 I'm attempting to find out whether under your
2 interpretation of the contract, you think that this rule
3 is consistent with the facility that you're planning,
4 which is 115 megawatts?

5 A Yes, and my answer is that I read this to mean
6 that as long as the facility's committed capacity is
7 consistent with this rule, being that in our case it's
8 74. -- committed capacity is 74.9 megawatts, that the
9 rule doesn't put a specific limit on the size of the
10 facility being built.

11 Q And you say that, even though the rule doesn't
12 speak to committed capacity at all; is that correct?

13 A That's correct.

14 Q While we're in this section of the rules, I
15 wonder if you would look at the bottom of that page,
16 Section E, Paragraph 6, the last sentence reads, "At a
17 maximum, firm capacity and energy shall be delivered for
18 a period of time equal to the anticipated plant life of
19 the avoided unit, commencing with the anticipated
20 in-service date of the avoided unit."

21 Mr. Killian, do you know if the contract
22 specifies the in-service date of the avoided unit?

23 A Yes.

24 Q And what is that?

25 A 1997.

1 Q And do you know if the contract specifies the
2 life of the avoided unit?

3 A When you say life, could you be more
4 specific?

5 Q The life of the avoided unit. You want me to
6 characterize that differently?

7 A Yes, sir.

8 Q How long it will remain in operation, how long
9 it's expected to remain in operation.

10 A How long -- you're asking me does the contract
11 specify how long the facility will remain in operation?

12 Q Yes.

13 A In that particular case, no, the contract
14 doesn't specify that life.

15 Q Would you turn to Sheet 53 of 88 in the
16 standard offer contract? This is Appendix C, Schedule
17 2.

18 A Yes.

19 Q All right. Under the second category,
20 Investment Data, would you read the last line?

21 A "Economic plant life equal 20 years."

22 Q Okay, and then earlier you indicated that the
23 contract specifies the in-service date of the avoided
24 unit; did you not?

25 A That's correct.

1 Q Is that stated up on the first line under the
2 category General?

3 A Yes, it is.

4 Q Okay. Doesn't say in-service, though, does
5 it?

6 A It says, "year of avoided unit."

7 Q So you read those two terms as being
8 synonymous?

9 A Yes, because that's when the capacity payments
10 would start, would be in 1997.

11 Q But you don't see that economic plant life
12 refers to the life of the avoided unit?

13 A No, I don't.

14 Q If you would turn back to Page 12 of your
15 testimony. At the bottom of Page 12, beginning on Line
16 19 and into the top of the next page, you refer to
17 "irrefutable engineering realities" that you claim make
18 it necessary for a facility to have a net capacity
19 substantially greater than 74.9 megawatts in order to
20 produce a capacity of 74.9 megawatts; do you see that?

21 A Yes, I do.

22 Q Isn't it true, Mr. Killian, that Panda's own
23 self-certification filed with the FERC stated that the
24 Panda facility would have a net capacity of precisely
25 74.9 megawatts?

1 A Yes, it did.

2 Q And isn't it also true that after Panda
3 redesigned its facility to increase its net capacity to
4 115 megawatts, supposedly to accommodate the additional
5 capacity necessary to reliably deliver 74.9 megawatts,
6 that Panda offered to sell 35 megawatts of firm capacity
7 to the -- to Lakeland Utilities?

8 A There was an offer put out by a representative
9 of Panda, yes, although he was not authorized to do
10 that.

11 Q Did you receive a copy of that letter?

12 A Yes, I did.

13 Q Did you take any action to see that that
14 unauthorized activity was rescinded?

15 A Yes. You use the term "rescinded." I took
16 action to check on whether or not -- the validity of
17 that action, that effort could have been undertaken.

18 Q Lakeland responded to your proposal; didn't
19 they?

20 A That's correct.

21 Q So it appears that they weren't aware that the
22 offer was rescinded?

23 A We did not officially rescind the offer to
24 Lakeland.

25 Q I see. If you would turn to Page 13 --

1 CHAIRMAN CLARK: Mr. Killian, let me follow up
2 on that. So the offer was made by somebody who was not
3 authorized to do so, and when you found out, you,
4 nonetheless, let the offer stay out there for Lakeland
5 to take advantage of it?

6 WITNESS KILLIAN: No. We had internal
7 discussions and a decision was made to withdraw the
8 offer, but the answer came back before the withdrawal
9 could take place.

10 CHAIRMAN CLARK: All right. I'm confused.
11 Did you withdraw the offer or --

12 WITNESS KILLIAN: No, they had already said
13 they were not interested by the time we made the
14 decision to withdraw the offer.

15 CHAIRMAN CLARK: Was there any documentation
16 that you had made the decision to withdraw the offer?

17 WITNESS KILLIAN: I don't recall.

18 BY MR. MCGEE:

19 Q Lakeland Utilities' response to your offer was
20 approximately a month later; was it not?

21 A A month after the --

22 Q After the offer was -- after the proposal was
23 submitted to them?

24 A I don't recall when it was.

25 Q Mr. Killian, on Page 30 of your testimony in

1 your answer you describe a meeting between Panda and
2 members of the Public Service Commission Staff. Do you
3 know whether Florida Power or any representatives of
4 Florida Power were invited to that meeting?

5 A Not to my knowledge.

6 Q Do you know whether they were even informed
7 that the meeting was to take place?

8 A Beforehand?

9 Q Yes.

10 A I do not know whether they were or were not
11 informed.

12 Q In any event, Florida Power representatives
13 weren't present at that meeting, were they?

14 A That is correct.

15 Q Was the subject of the proposed 115 megawatt
16 facility's compatibility with the Commission's 75
17 megawatt rule discussed at that meeting?

18 A To the best of my knowledge it was.

19 Q Can you indicate to me how that knowledge was
20 acquired?

21 A Through discussion with the people that
22 attended that meeting.

23 Q Would you turn to your Exhibit RK-12?

24 A Okay.

25 Q Now that's a letter from Barrett Johnson, an

1 attorney representing Panda, to Mr. Jenkins of the
2 Florida Public Service Commission Staff; is that
3 correct?

4 A That is correct.

5 Q And the purpose of that letter is to -- and
6 the content of that letter summarizes the discussion at
7 the meeting that was held on August 15th?

8 A That is correct.

9 Q And do you see anywhere in that even the
10 mention of the word "rule"?

11 A No, I do not.

12 Q In fact, isn't it true that the letters from
13 Mr. Johnson to Mr. Jenkins and the response from
14 Mr. Jenkins to Mr. Johnson indicate that the discussion
15 was really in the context of whether or not Panda's new
16 configuration constituted a contract modification that
17 would require Commission approval and not whether it was
18 consistent with the Commission rules? (Pause)

19 I should indicate that that responsive letter
20 from Mr. Jenkins is the following exhibit, RK-13.

21 A I do see those exact words in here where it
22 does refer to the last sentence of Mr. Johnson's
23 letter -- or the second to the last sentence states
24 that, "We also discussed the fact that the operation of
25 Panda-Kathleen in the manner described in this letter

1 and the attached letter to Florida Power Corporation is
2 consistent with Panda's standard offer contract and is
3 not a contract change that would require Florida Public
4 Service Commission approval." Yes, that's stated in the
5 letter.

6 Q All right. And then in Mr. Jenkins' response,
7 he states -- this is in RK-13, "Based on the
8 representations," meaning at the -- in the Panda letter,
9 "I foresee no reason why this is any type of contract
10 change that should come before the Commission for
11 approval."

12 A Yes, that's in there. However, I do know that
13 the rule was discussed in that meeting.

14 Q And is that documented anywhere?

15 A I can't answer that. I do know the rule was
16 discussed.

17 Q You were not at that meeting though, were you?

18 A No. I do know from the reports from the
19 people who did attend the meeting that the rule was
20 discussed.

21 Q After that meeting was over and this exchange
22 of correspondence took place, do you know if Panda did
23 anything to make Florida Power aware of the results of
24 that meeting?

25 A In Mr. Jenkins' letter he references a phone

1 call to Mr. Dolan where he says, "I discussed this
2 briefly with Florida Power's Bob Dolan and he
3 concurred."

4 Q Well, my question was whether you -- whether
5 Panda had done anything to communicate or advise Florida
6 Power in any way of the results of this meeting.

7 A I don't recall specifically on that one.

8 Q And the reference in Mr. Jenkins' letter that
9 you just referred to discussing with the Florida Power's
10 Bob Dolan, that would suggest that that conversation
11 with Mr. Dolan took place before this letter was
12 written?

13 A That's correct.

14 Q So that didn't cause you to believe that
15 Florida Power had received copies of Mr. Jenkins'
16 letter, did it?

17 A Not necessarily, no. It just indicated to us
18 that Mr. Jenkins had had a conversation with Mr. Dolan
19 concerning this matter and he had no problem.

20 Q Do you have any basis for disagreeing with
21 Mr. Dolan's testimony that the first time Florida Power
22 became aware of either the meeting or the correspondence
23 that followed the meeting was in early January 1995?

24 A I don't understand that. If Mr. Jenkins
25 talked to Mr. Dolan, you would have thought he would

1 have known about it when he talked to Mr. Jenkins. You
2 would have thought Mr. Dolan would have recognized that
3 the reason he was getting the phone call from
4 Mr. Jenkins was because Panda did have that meeting. So
5 I can't understand why it would have been four or five
6 months later before he recognized the meeting took
7 place.

8 Q Well, do you have any basis for disagreeing
9 with his testimony that he didn't receive copies of the
10 correspondence until that time?

11 A Oh, no, not of the correspondence. I can't
12 disagree with that.

13 Q Would you turn to Page 33 of your testimony,
14 please?

15 A I'm sorry, what page?

16 Q Page 33. I was struck by your testimony on
17 Line 16, which says, "With the production of 115
18 megawatts of energy, Florida Power would receive 40.1
19 megawatts of free capacity."

20 Is it your testimony that Florida Power would
21 avoid an additional 40 megawatts of capacity?

22 A Well, are you -- you say avoid. My testimony
23 is that they would not have to pay for any capacity that
24 was delivered above 74.9 megawatts; that the contract
25 only required a committed capacity of 74.9 megawatts.

1 And to the extent that we delivered them energy in
2 excess of that, they would not have to make capacity
3 payments for the amounts above 74.9 megawatts.

4 Q Well, but you would be delivering energy, but
5 you're claiming that the capacity would be free. Would
6 Florida Power be receiving any capacity?

7 A They would -- of course. They would be
8 receiving free energy which would not require them to
9 pay for capacity for that extra amount of megawatts they
10 were receiving.

11 Q Did you mean to say just now free energy? The
12 energy would be at as-available --

13 A No, I'm sorry. I stand corrected. It would
14 not be free energy. The capacity would be free.

15 CHAIRMAN CLARK: Let me ask a question on
16 that. And I had a question in your direct testimony
17 when you indicated that Florida Power Corporation would
18 receive 40.1 megawatts of free capacity. But you have
19 no obligation to deliver that capacity to them, do you?
20 You don't suffer any penalties if you do not in fact
21 deliver that capacity?

22 WITNESS KILLIAN: We view that when we build
23 the plant that we're going to deliver all the energy to
24 Florida Power Corp., and unlike the misadventure with
25 the City of Lakeland, that we're not going to go out and

1 sell that extra capacity to another party. And
2 consequently, that capacity is reserved to go to Florida
3 Power Corp., and we're not -- neither does the contract
4 require that they pay for it or are we asking that they
5 pay for that extra capacity. So to that extent they end
6 up with about 40 megawatts of free capacity.

7 CHAIRMAN CLARK: Are you obligated to deliver
8 that capacity under the contract?

9 WITNESS KILLIAN: No, ma'am.

10 BY MR. MCGEE:

11 Q In that same vein then, from Florida Power's
12 standpoint, it can't count on having that capacity; can
13 it?

14 A No.

15 Q So if Florida Power has a capacity need -- say
16 Florida Power identifies a capacity need for 100
17 megawatts, it can't subtract 40 megawatts from that and
18 only add an additional 60; can it?

19 A Well, to the extent that Panda is delivering
20 it to Florida Power Corp. and the facility is producing
21 it, you know, it's there.

22 Q Do you understand that planners make long-term
23 decisions; that it wouldn't be a day-to-day view?

24 A That's correct.

25 Q Well, if the planners at Florida Power can't

1 view that 40 megawatts, that additional 40 megawatts
2 that you have at your facility, as avoiding a capacity
3 need on Florida Power's part, then Florida Power would
4 have to build that capacity; wouldn't it?

5 A But what this becomes is capacity that's
6 there, that's available to Florida Power Corp., and they
7 don't have to pay into any capacity for this, and the
8 benefit will accrue to the ratepayers.

9 Q But if Florida Power has already had to add an
10 additional 40 megawatts on its own because it can't
11 count on yours, it's not free, is it?

12 A Knowing the fact that it is available here, I
13 don't see why you would waste the money to go out and
14 add an extra 40 megawatts.

15 Q Isn't the whole basis for why this additional
16 40 megawatts is needed is because it's necessary to
17 provide 74.9 megawatts and that you're going to
18 experience degradation and these other phenomena that
19 make it necessary, that additional 40, to be able to
20 serve the 75 megawatts?

21 A This was the size of plant that was required
22 in order to meet the needs of this contract. It was the
23 smallest plant that we could size to meet the 74.9
24 megawatts of committed capacity at all times.

25 Q So if you need that additional capacity to

1 meet the 75 megawatt committed capacity, how can Florida
2 Power count on it to avoid building 40 megawatts of its
3 own capacity?

4 A Well, to the extent the plant can produce it,
5 it's available to Florida Power Corp.

6 MR. MCGEE: Those are all the questions I
7 have.

8 CHAIRMAN CLARK: Staff?

9 MS. BROWN: Staff has no questions.

10 CHAIRMAN CLARK: Commissioners?

11 Mr. Killian, I do have a couple questions. I
12 want to be clear on what you were originally proposing
13 to build to meet the 74.9 megawatts. And as I
14 understand it, it was combustion turbines of 25 each,
15 three of them?

16 WITNESS KILLIAN: Yes, ma'am. There were
17 three LM 2500s, which their nominal capacity is 25
18 megawatts each, and under normal conditions, they would
19 put out between 87 and 95 megawatts.

20 CHAIRMAN CLARK: Okay, and I'm not sure I
21 understood why you deviated from that proposal and why
22 those three units could reliably produce the committed
23 capacity and yet the other two you chose could not.

24 WITNESS KILLIAN: One of the witnesses will
25 get into that in probably detail later, but in a

1 nutshell, we went back and looked at -- did a more
2 exhaustive study of what the requirements were for the
3 project and saw that we could not expect to get 74.9
4 megawatts at all times and under all climate conditions,
5 and so therefore it dictated that we get a different
6 type of unit than the LM 2500s.

7 Additionally, in this time frame, the
8 emissions standards for Florida changed from 25 parts
9 per million NOX down to 15 parts per million NOX. And
10 these particular units would not have achieved that NOX
11 level. So that would eliminate the aero-derivative
12 machines.

13 CHAIRMAN CLARK: So but for the change in the
14 environmental concerns, you could have used those 25
15 megawatt units and had that --

16 WITNESS KILLIAN: No, ma'am. No, ma'am, we
17 could not. That was another factor that eliminated
18 aero-derivative machines, but we had made the decision
19 to not use the LM 2500s prior to the change in
20 regulations because of the change in climate conditions
21 and the degradation conditions we expected over the life
22 of the contract. We didn't feel comfortable that these
23 machines would be able to provide the 74.9 megawatts
24 throughout the term of the contract.

25 CHAIRMAN CLARK: How soon after you made the

1 proposal to use that did you decide that they were no
2 longer viable?

3 WITNESS KILLIAN: I'm not sure of the exact
4 time frame. You certainly -- please ask one of the
5 other witnesses that may have been involved in that.

6 CHAIRMAN CLARK: I'm still having difficulty
7 understanding the 30-year versus 20-year. And I keep
8 relating it back to the notion that under PURPA, and
9 setting the avoided cost, that whoever generates the
10 electricity, the cost should be the same to the
11 ratepayers. And correct me if I've misunderstood it, it
12 seems to me that the capacity payments that are set out
13 for your contract under the standard offer use an
14 economic life of the avoided unit of 20 years.

15 WITNESS KILLIAN: Yes.

16 CHAIRMAN CLARK: And you're saying that your
17 contract is for 30 years, but as I understand it, the
18 payments you're asking for are the same as those based
19 on a 20-year unit, and to me, that means the avoided
20 costs they have to pay under the contract, as you want
21 it interpreted, will be more.

22 WITNESS KILLIAN: But that's not what the
23 value of deferral method does. The value of deferral
24 method defers putting a unit in service on a
25 year-by-year basis. In fact, your rules even allow for

1 a ten-year, a minimum ten years for a contract. And
2 that's certainly -- I mean, under the same philosophy,
3 that certainly wouldn't be fair. But also, you could
4 put a different economic life in ten years.

5 CHAIRMAN CLARK: Why wouldn't it be fair? My
6 concern here is --

7 WITNESS KILLIAN: It might be fair if a person
8 had a facility and then he had another use for it beyond
9 the ten-year period. But the point I'm trying to make
10 is the rule that establishes how you determine the
11 capacity payments is not necessarily related to the
12 particular facility that goes in. It's related to the
13 deferring of an avoided unit each year, and that's the
14 way it's calculated.

15 CHAIRMAN CLARK: You're saying the payment
16 being made to the cogenerator is not related to the cost
17 of the avoided unit?

18 WITNESS KILLIAN: That's what I'm saying,
19 yes.

20 CHAIRMAN CLARK: Then how can we be sure that
21 the ratepayers are not harmed by the price -- that they
22 pay the same price they would have paid if the utility
23 built the unit as opposed to the qualifying facility
24 being built?

25 WITNESS KILLIAN: I can't answer that

1 question.

2 CHAIRMAN CLARK: Okay.

3 WITNESS KILLIAN: But I will say that the
4 value of deferral method is pretty clear on how it's
5 calculated, and it would appear to me that, you know, if
6 a contract were approved for 30 years, it would be very
7 consistent to calculate it consistent with the
8 calculation method spelled out in the rule.

9 CHAIRMAN CLARK: Let me see if we can agree on
10 one thing, that certainly the ratepayer should have to
11 pay no more under that contract than they would have
12 paid had the utility built the unit that's being
13 avoided?

14 WITNESS KILLIAN: And under the philosophy
15 avoidance of building the unit, such as the value of
16 deferral method calls for, if Florida Power Corp. --

17 CHAIRMAN CLARK: You're putting qualifications
18 on it that I didn't put on it.

19 WITNESS KILLIAN: Yes, ma'am.

20 CHAIRMAN CLARK: Under the philosophy of
21 PURPA, isn't PURPA designed so that the ratepayers pay
22 no more for that electricity, whether it is generated by
23 Florida Power Corporation or by a qualifying facility?
24 Is that the philosophy of PURPA?

25 WITNESS KILLIAN: I would prefer the lawyers

1 to try to interpret the PURPA rules rather than me.

2 CHAIRMAN CLARK: Fair enough.

3 MR. ROSS: I think, Commissioner Clark,
4 actually we have Mr. Shanker who will be testifying on
5 just that, and I think you could ask those questions of
6 Mr. Shanker.

7 CHAIRMAN CLARK: I will. Any other
8 questions? Redirect?

9 REDIRECT EXAMINATION

10 BY MR. ROSS:

11 Q I just wanted to ask you one question,
12 Mr. Killian. Is it correct that you understand the
13 words "economic plant life" to mean something different
14 than the expected operational life of the facility?

15 A That is correct.

16 Q And when you saw the terms "economic plant
17 life" in this facility, you didn't think that meant the
18 operational life, correct?

19 A No, I felt they were different.

20 Q And isn't it correct you believe the
21 operational life of the 1997 combustion turbine unit,
22 which is the avoided unit here, is in fact longer than
23 20 years?

24 A That is correct.

25 MR. ROSS: Thank you. That's all I have.

1 CHAIRMAN CLARK: Thank you, Mr. Killian.

2 (Witness Killian excused.)

3 * * *

4 CHAIRMAN CLARK: Exhibits? Do you move the
5 admission of Exhibit 23?

6 MR. ROSS: Yes, I do.

7 CHAIRMAN CLARK: It will be admitted in the
8 record without objection.

9 (Exhibit No. 23 received into evidence.)

10 MR. ROSS: I'm sorry, I thought I already
11 had. If it is all right with the Commissioners, just
12 because of a flight schedule, if we could take
13 Mr. Brinson next, rather than whoever is next in the
14 list. He's one of our direct witnesses. He has an
15 earlier plane to catch.

16 MR. MCGEE: We have no objection.

17 CHAIRMAN CLARK: No objection?

18 MR. MCGEE: No objection.

19 CHAIRMAN CLARK: Okay. Commissioners? We're
20 going to take a break until quarter of, and we will
21 start with Mr. Brinson.

22 (Recess from 3:35 p.m. until 3:55 p.m.)

23 CHAIRMAN CLARK: Go ahead and reconvene the
24 hearing. Mr. Brinson?

25 Go ahead, Mr. Ross.

1 JOSEPH C. BRINSON

2 was called as a witness on behalf of Panda-Kathleen,
3 L.P., and having been duly sworn, testified as follows:

4 DIRECT EXAMINATION

5 BY MR. ROSS:

6 Q Could you please state your name and your work
7 address for the record?

8 A First, is the mike working? I can't see from
9 the lights.

10 Q It's on.

11 A My name is Joseph C. Brinson and presently I
12 am the site manager for Panda-Brandywine's L.P.
13 cogeneration facility, and my business address is 16400
14 Mattawoman Drive, Brandywine, Maryland 20613.

15 Q Mr. Brinson, do you have before you a document
16 which is a copy of the prefiled direct testimony that
17 you have presented in this proceeding?

18 A Yes, sir.

19 Q Do you have any additions or corrections to
20 make to that testimony?

21 A No, sir.

22 Q And is that testimony true and accurate, and
23 if asked the same questions today, would you give the
24 same answers?

25 A Yes, sir.

1 MR. ROSS: I move that Mr. Brinson's direct
2 testimony be entered into the record as though read.

3 CHAIRMAN CLARK: Mr. Brinson's prefiled direct
4 testimony will be inserted in the record as though
5 read.

6 BY MR. ROSS:

7 Q Thank you. And you also, Mr. Brinson, have
8 two exhibits to your direct testimony which constitute
9 Exhibits JCB-1 and JCB-2?

10 A Yes, sir, I do.

11 Q And those are the exhibits that are referred
12 to in your direct testimony?

13 A Yes, sir.

14 MR. ROSS: I would offer as Composite Exhibit
15 No. 24 the exhibits to Mr. Brinson's testimony which are
16 JCB-1 and JCB-2.

17 CHAIRMAN CLARK: JCB-1 and 2 attached to
18 Mr. Brinson's direct testimony will be marked as
19 Composite Exhibit 24.

20 (Exhibit No. 24 marked for identification.)
21
22
23
24
25

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 TESTIMONY OF JOSEPH BRINSON

3 ON BEHALF OF PANDA-KATHLEEN, L.P.

4 DOCKET NO. 950110-EI

5

6 **Q. Please state your name, profession, and business address.**

7 A. My name is Joseph Brinson. I am the Site Manager of
8 Panda-Brandywine, L.P.'s cogeneration facility, which is
9 being developed by Panda Energy International, Inc.
10 Panda Energy International, Inc., is engaged in the
11 development and operation of cogeneration facilities.
12 Prior to taking my present position at Panda-Brandywine,
13 L.P., I worked on the planning of the cogeneration plant
14 to be constructed by Panda-Kathleen, L.P. Panda-
15 Kathleen, L.P. is engaged in the development of a
16 qualified cogeneration facility in Lakeland, Florida
17 pursuant to a contract between Panda-Kathleen, L.P. and
18 Florida Power Corporation. My business address is 16400
19 Mattawoman Drive, Brandywine, Maryland 20613.

20

21 **Q. State briefly your educational and professional**
22 **background.**

23

24 A. I graduated from North Georgia College with a B.S. in
25 Business Administration. I joined Panda in 1985. In
26 1989, I became the project manager during construction of
27 the Panda-Rosemary L.P. plant in Roanoke Rapids, North

1 Carolina. I became the Plant Manager of that facility in
2 1990, and remained there until assuming my current
3 position.

4

5 Q. On whose behalf are you appearing in this proceeding?

6

7 A. I am appearing on behalf of Panda-Kathleen, L.P.

8

9 Q. Please describe your duties with Panda Energy
10 Corporation.

11

12 A. I am the Site Manager of Panda-Brandywine, L.P., and I am
13 responsible for the construction of that plant. I have
14 held that position since March of 1992.

15

16 Q. What position did you hold prior to becoming plant
17 manager at Panda-Brandywine?

18

19 A. I was Project Manager at Panda Energy Corporation, and I
20 was involved in the planning of the Panda-Kathleen
21 facility during part of 1992.

22

23 Q. Did you have any meetings or discussions with FPC as part
24 of your job duties?

25

1 A. Yes. I had several meetings with FPC employees in
2 Florida while working on the planning of the Panda-
3 Kathleen project.

4

5 Q. Did you ever have any discussions with FPC employees
6 regarding the planned size of the Panda-Kathleen plant?

7

8 A. I had discussions with FPC regarding plant size on at
9 least two separate occasions. During the week of April
10 15, 1992, Don Kinney and I met with Bob Dolan, Alan Keith
11 and David Gammon of FPC to discuss planning issues for
12 the Panda-Kathleen project. We discussed whether FPC
13 would purchase the energy produced in excess of 74.9 MW
14 by the plant. FPC stated that they would purchase
15 additional energy above 74.9 MW committed capacity if
16 Panda wanted to provide it from the Panda-Kathleen Plant.
17 Notes of that meeting are attached as Exhibit "A".

18

19

20 Q. Any other discussions with FPC on the plant size issue?

21

22 A. On May 1, 1992, I again met with Bob Dolan, Alan Keith
23 and David Gammon to discuss various issues, including a
24 proposal to build a 110 MW facility to meet Panda-
25 Kathleen's 74.9 MW committed capacity obligation. Bob
26 Dolan told me that the size was not a problem to FPC, but
27 that we should not talk with the Florida Public Service

1 commission on installing a 110 MW plant, and that we
2 should be careful dealing with the Public Service
3 Commission while ARK energy was still challenging the
4 FPC/Panda contract. A report of that meeting is attached
5 as Exhibit "B".

6

7 Q. Did you have any other contact with FPC on this issue?

8

9 A. No. Late in 1992, I was reassigned to work solely on the
10 Brandywine project...

11

12 Q. Does this conclude your testimony?

13

14 A. Yes.

1 BY MR. ROSS:

2 Q Mr. Brinson, would you give us a brief summary
3 of your testimony, please?

4 A Yes, sir. My prefiled direct testimony
5 describes two conversations that I had with Florida
6 Power representatives regarding the size of the
7 Panda-Kathleen facility. And at the time of these
8 conversations I was a project manager for Panda for the
9 Panda-Kathleen project.

10 In April of '92, I met with Mr. Bob Dolan and
11 Mr. David Gammon, Florida Power Corp. -- at Florida
12 Power, and which they stated that Florida Power would
13 purchase additional energy above the 74.9 megawatt
14 committed capacity if Panda would like to provide it.

15 And then again in May of '92, I had another
16 meeting with Florida Power representatives, Mr. Dolan
17 and Mr. Gammon, in which we discussed Panda's proposal
18 to build a 110-megawatt plant to meet the committed
19 capacity requirement for the Panda-Kathleen facility.

20 And Mr. Dolan again said that the size would
21 not be a problem with Florida Power, but that we should
22 not talk with the Florida Public Service Commission at
23 that time because the Ark Energy challenge to the
24 standard offer and contract was still pending.

25 Q And are the exhibits that are attached, those

1 are your notes of those two conversations?

2 A Yes, sir, the notes that are -- the exhibits
3 are my notes from those two meetings.

4 MR. ROSS: Thank you. I tender Mr. Brinson
5 for cross-examination.

6 MR. FROESCHLE: We have no questions for this
7 witness.

8 CHAIRMAN CLARK: Staff.

9 MS. BROWN: Staff has no questions.

10 CHAIRMAN CLARK: Commissioners? You got off
11 the hook.

12 WITNESS BRINSON: Now I can make that
13 airplane.

14 CHAIRMAN CLARK: Thank you, Mr. Brinson.

15 Do we need to move the exhibit? Exhibit 24
16 will be admitted in the record without objection and you
17 can be excused, Mr. Brinson.

18 (Exhibit No. 24 received into evidence.)

19 WITNESS BRINSON: Thank you, ma'am.

20 (Witness Brinson excused.)

21 * * *

22 MR. ROSS: Mr. Dietz will be next.

23 CHAIRMAN CLARK: Yes.

24 J. BRIAN DIETZ

25 was called as a witness on behalf of Panda-Kathleen,

1 L.P., and having been duly sworn, testified as follows:

2 MR. ROSS: Should we wait -- do you wish us to
3 wait or should we go ahead?

4 CHAIRMAN CLARK: No, he'll come up here
5 when -- we'll go through the formalities and he'll be
6 ready by that time.

7 DIRECT EXAMINATION

8 BY MR. ROSS:

9 Q Would you please state your name and business
10 address for the record, please?

11 CHAIRMAN CLARK: The light has to be off for
12 your mike to be on.

13 WITNESS DIETZ: My name is J. Brian Dietz. My
14 business address is 4100 Spring Valley Road, Suite 1001,
15 Dallas, Texas 75244.

16 BY MR. ROSS:

17 Q Mr. Dietz, do you have before you a document
18 which is a copy of the prefiled direct testimony that
19 you have filed in this case?

20 A Yes, I do.

21 Q And is that testimony true and accurate today?

22 A Yes, it is.

23 Q Do you have any additions or changes to that
24 testimony that you wish to make at this time?

25 A No, I do not.

1 Q And if asked the same questions today, would
2 you give the same responses?

3 A Yes, I would.

4 Q I move that the prefiled testimony of
5 Mr. Dietz be accepted into the record as though read.

6 CHAIRMAN CLARK: The prefiled direct testimony
7 of Mr. J. Brian Dietz will be inserted in the record as
8 though read.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
2 TESTIMONY OF J. BRIAN DIETZ
3 ON BEHALF OF PANDA-KATHLEEN, L.P.
4 DOCKET NO. 950110-EI
5

6 I. INTRODUCTION AND QUALIFICATION

7 Q. Please state your name, profession, and business address.

8
9 A. My name is J. Brian Dietz. I am the Director of
10 Engineering and Operations of Panda Energy International,
11 Inc. Panda Energy International, Inc. is engaged in the
12 development and operation of cogeneration facilities.
13 Panda-Kathleen, L.P. is engaged in the development,
14 ownership and operation of independent power facilities
15 and a qualified cogeneration facility in Lakeland,
16 Florida pursuant to a contract between Panda-Kathleen,
17 L.P. and Florida Power Corporation. My business address
18 is 4100 Spring Valley, Dallas, Texas 75244.

19
20 Q. State briefly your educational and professional
21 background.

22
23 A. I earned a Bachelor of Science degree in mechanical
24 engineering from the University of Maryland in 1960 and
25 a Master of Science degree in mechanical engineering from
26 Rensselaer Polytechnic Institute in 1966.

27
28 From 1960-61, I was employed by Vitro Laboratories of
29 Silver Spring, Maryland. From 1961-66, I was employed by

1 United Technologies as a Senior Engineer, leaving in 1966
2 to join Vought Corporation of Dallas, Texas as a Senior
3 Engineering Specialist. I left Vought in 1977 to become
4 the Director of Engineering and Development for Lone Star
5 Energy Company of Dallas, Texas.

6
7 In 1983, I left Lone Star to become the Manager of
8 Business Development for CSW Energy, Inc. of Dallas. In
9 that position, I directed project development activities
10 for cogeneration, small power production and energy
11 management activities for CSW, a then newly-formed
12 subsidiary of Central and Southwest Corporation, a public
13 utility holding company. At CSW, I led a business
14 development team that obtained four letters of intent to
15 develop more than 300 MW of cogeneration projects.

16
17 In 1985, I left CSW to become the Director of Project
18 Development for Ford, Bacon & Davis of Monroe, Louisiana.
19 While employed in this position from 1985-87, I marketed
20 and developed cogeneration projects for this engineering
21 and construction firm specializing in pulp and paper
22 projects.

23
24 In 1987, I returned to Lone Star Energy as a Vice-
25 President, serving as executive manager for Lone Star,
26 directing engineering, operations and profit-loss

1 performance for five large thermal energy plants
2 representing a \$170 million investment.

3

4 In 1989, I left Lone Star to become an independent
5 consultant specializing in the development, analysis and
6 operations and maintenance of industrial energy and
7 cogeneration projects. During that time, in addition to
8 my work for other clients, I reviewed the operational
9 readiness of the operations contractor, and performed
10 owners representative overview activities for the
11 commissioning, start-up and testing of a 165 MW combined
12 cycle cogeneration facility for Panda Energy Corporation,
13 the predecessor to Panda Energy International, Inc..

14

15 I joined Panda Energy Corporation in September 1992 as
16 its Director of Engineering and Operations.

17

18 I am a registered professional engineer in the state of
19 Texas and have held numerous offices in the American
20 Society of Mechanical Engineers.

1 Q. On whose behalf are you appearing in this proceeding?

2

3 A. I am appearing on behalf of Panda-Kathleen, L.P.

4

5 Q. Please describe your duties with Panda Energy
6 International, Inc.

7

8 A. As Panda's chief engineer, I have the responsibility for
9 the direction of the design, analyses, selection and
10 specification of all major equipment and systems for the
11 Panda-Kathleen project and the 230 MW Panda Brandywine
12 project. These responsibilities also include, and have
13 included, participation in the negotiation of the turnkey
14 engineering/procurement/construction contracts for these
15 cogeneration plants.

16

17 As Panda's chief of plant operations, I have total
18 management responsibility for the operation and
19 maintenance of Panda's existing 175 MW cogeneration
20 facility in North Carolina. The plant consists of one GE
21 Frame 7 and one GE Frame 6 gas turbine in a combined
22 cycle configuration. My responsibilities also include
23 corporate management and the administration of the power
24 purchase contract and thermal sales contract, and
25 responsibility for the financial performance (profit and
26 loss) of the plant.

27

1 Q. Have you ever testified before the Florida Public Service
2 Commission?

3

4 A. No, I have not.

5

6 II. PURPOSE OF TESTIMONY

7 Q. What is the purpose of your testimony?

8

9 A. The purpose of my testimony is to state the facts
10 underlying Panda's attempts to comply with its
11 contractual obligation to ensure that it will be able to
12 supply Florida Power Corporation with wholesale electric
13 power for 30 years at a net 74.9 MW or greater of
14 capacity, under all operating conditions. My testimony
15 will also state the facts regarding the engineering and
16 permitting necessities that Panda attempted to comply
17 with throughout the configuration selection process.

18

19

20 III. CONTRACTUAL CONSIDERATIONS IN CONFIGURATION SELECTION

21 Q. What considerations went into the choice of configuration
22 for the Panda facility?

23 A. Panda must select a plant configuration which meets the
24 performance and interconnection requirements set forth in
25 the contract executed by Panda and Florida Power
26 Corporation ("FPC"). These include requirements for the
27 Facility to:

- 1 1. Make available to FPC the Committed Capacity of
2 74.9 MW, at all times, at the Point of Delivery
3 from the Contract In-Service Date throughout the
4 entire term of the power agreement (30 years);
5
- 6 2. Demonstrate, each year, the Commercial In-Service
7 Status of the Facility within 60 days of when FPC
8 demands that demonstration;
9
- 10 3. Maintain an hourly kW output, as metered at the
11 Point of Delivery, equal to or greater than the
12 Committed Capacity for a consecutive twenty-four
13 hour period or during the on-peak hours for two
14 consecutive days;
15
- 16 4. Be in compliance with all applicable permits;
17
- 18 5. Be a Qualifying Facility ("QF") delivering steam
19 during all hours of plant operation (as opposed to
20 the avoided or deferred unit which is a combustion
21 turbine operating as a peaking unit in a simple
22 cycle configuration);
23
- 24 6. Be capable of delivering the Committed Capacity
25 using back-up fuel; and
26

1 7. Operate at 74.9 MWH per hour or more for 90% of the
2 on-peak hours and 42% of the total hours in each
3 year of the Contract term to approximate the
4 availability and capacity factor of the utility's
5 avoided unit as required by the Contract.
6

7 There are no constraints in the power agreement on the
8 technology, equipment or plant configuration that may be
9 utilized.

10

11 Q. Did Panda consider size restrictions in its contract with
12 Florida Power in selecting a configuration for the Panda
13 facility?

14

15 A. There are no provisions in the power purchase agreement
16 that restrict the electrical generating capability of the
17 plant. In fact, the contract requires Panda to deliver
18 74.9 MW of Committed Capacity at the Point of Delivery at
19 all times under all weather conditions and states of
20 maintenance.

21

1 IV. ENGINEERING CONSIDERATIONS IN CONFIGURATION SELECTION

2 Q. Why would Panda need to select a configuration for the
3 facility that would have an ultimate capability exceeding
4 74.9 MW at the generator?

5

6 A. Given the realities of electrical generation, the
7 contract required Panda to construct a facility with an
8 ultimate capability exceeding 74.9 MW at the generator
9 because:

10

11 1. The Committed Capacity is determined after
12 parasitic electrical usage (the electricity needed
13 to run auxiliary equipment and systems in the plant
14 that are necessary to generate electricity) is
15 subtracted;

16

17 2. The Committed Capacity is determined at, and must
18 be delivered to, the Point of Delivery, after line
19 and transformation losses have occurred;

20

21 3. The Committed Capacity must be delivered under all
22 weather conditions and without regard to
23 degradation occurring as a result of normal wear
24 and tear.

25

26 4. The Committed Capacity must be deliverable using
27 the back-up fuel; and

1 5. The Contract requires demonstrating this capability
2 on 60 days notice throughout the term of the
3 Contract, and prudence requires assuming that such
4 notice will take place under worst case conditions.

5

6 To satisfy all of these requirements requires the
7 construction of a plant with a maximum total capability
8 greater than the 74.9 MW Committed Capacity.

9

10 **Q. What design issues went into this configuration selection**
11 **process?**

12

13 A. To meet its obligations under its contract with Florida
14 Power, Panda proposed to construct a combustion turbine
15 in a combined cycle configuration for this Facility.
16 Under this configuration, the waste heat from the
17 combustion turbine is captured to make steam, which in
18 turn is used to generate more electricity with great
19 efficiency. The steam is extracted for process uses
20 which is what makes it a cogeneration facility. This is
21 the only viable QF configuration that could be built
22 whereby the capacity and energy payment streams under the
23 Contract will match up with the project's fixed and
24 variable costs and that also will ensure that the
25 facility is in full compliance with the Public Utilities
26 Regulatory Policies Act ("PURPA"). Combined cycle
27 technology has a number of characteristics that require

1 the application of a unit with a maximum total capability
2 greater than the Committed Capacity of 74.9 MW.

3

4 Q. Was ambient temperature degradation an issue in
5 configuration selection?

6

7 A. Yes. The output of a combined cycle plant varies
8 significantly with changes in ambient temperature and
9 relative humidity. The Contract does not set the ambient
10 conditions for the plant design nor does it set any upper
11 limit for temperature under which the 74.9 MW Committed
12 Capacity performance requirements must be met. Since a
13 combined cycle facility is subject to substantial
14 performance degradation under conditions of high ambient
15 temperature, the plant had to be sized to meet the
16 Committed Capacity under the maximum expected ambient
17 temperature. Florida Power had expressly requested
18 facility performance numbers for temperatures as high as
19 110° F and temperatures of 100° F are commonly
20 experienced in Lakeland in at least three different
21 calendar months of the year. The maximum recorded
22 temperature is 102° F. During the 30-year term of the
23 Contract, a 102° F temperature must be anticipated.

24

25 At a temperature of 102° F, the performance of a combined
26 cycle plant degrades from approximately 15% to 19% of
27 rated capacity (depending on the exact equipment

1 selected) compared with the performance of the unit at
2 59° F at sea level. Plant rated performance is typically
3 quoted at 59° F at sea level.

4

5 **Q. What other performance degradation issues were considered**
6 **in the configuration selection process?**

7

8 A. A combined cycle facility also is subject to substantial,
9 performance degradation, both non-recoverable and
10 maintenance-recoverable, due to operational wear and tear
11 on the plant. Maintenance-recoverable degradation is
12 experienced between the major overhauls of the combustion
13 turbine, steam turbine, and other plant auxiliary
14 equipment. Published figures by major turbine suppliers
15 show that non-recoverable and maintenance-recoverable
16 degradation can be up to 6%.

17

18 In addition, a combined cycle facility experiences
19 operationally-recoverable degradation. This degradation
20 includes that due to combustion turbine compressor and
21 air cleaner fouling. This can amount to 2% of rated
22 capacity. This degradation can be recovered by thorough,
23 off-line "washing" of the compressor and/or cleaning of
24 the air filter. This "washing" can be accomplished when
25 the combustion turbine is off-line.

26

1 Q. How must the design capability account for parasitic
2 loads?

3

4 A. The facility will consume approximately 2% of its total
5 output for internal purposes, including operating pumps,
6 fans, controls, and other auxiliary equipment. The
7 design must account for these parasitic loads.

8

9 Q. How did Panda account for projected transformation and
10 transmission line losses?

11

12 A. These losses have been estimated at 1/2% to 1-1/2% and
13 will continue over the thirty year period of the
14 agreement.

15

16 Q. Based on the analysis you've just described, what did
17 Panda consider to be the total effects of degradation,
18 parasitic loads and transformation and line losses?

19

20 A. For the combined cycle facility to meet the Committed
21 Capacity of 74.9 MW at the Point of Delivery at all times
22 during the 30-year term of the power purchase agreement,
23 the plant must be designed to include the cumulative
24 effects of temperature degradation, nonrecoverable
25 degradation, recoverable degradation, and transformation
26 and line losses to the Point of Delivery. These
27 degradations in output do not include reduced plant

1 output or degradation due to random auxiliary equipment
2 failure over the 30 year term of the power agreement.
3 These random equipment failures include such things as
4 loss of a cooling tower fan, heat recovery steam
5 generator tube failures, malfunctioning of combustion or
6 steam turbine controls, valve failures, etc. Prudent
7 engineering practice would include an extra margin of
8 several percent above design rated plant output of the
9 plant. Panda considered 2% to be a conservative margin.
10 In the aggregate, all of these factors, conservatively,
11 can total 27% to 31% of the Facility's initial generation
12 capability rated under standard conditions. As a result
13 the plant must be designed conservatively with a minimum
14 rated output of 100 MW at 59° F net of parasitic loads.
15 This is the minimum size that the Facility must be
16 capable of producing to be able to meet its contractual
17 commitments for the entire 30-year term of the Contract.

18
19

20 **IV. ENVIRONMENTAL CONSIDERATIONS IN CONFIGURATION SELECTION**

21 **Q. How did environmental regulations play a part in the**
22 **configuration selection process?**

23

24 **A.** When Panda signed the contract with Florida Power, the
25 State of Florida limited nitrogen oxide ("NO_x") emissions
26 to the atmosphere from a generating facility to 25 parts
27 per million ("PPM") at 15% excess oxygen. However, when

1 Panda began the facility permitting process in late 1992,
2 the State of Florida had limited those emissions to the
3 atmosphere to 15 PPM at 15% excess oxygen. This
4 regulatory change had a significant effect on the
5 technology selection and configuration selection process.

6
7 Uncontrolled, most combustion turbine models emit well
8 over 150 PPM NO_x at 15% excess oxygen. There are
9 currently two methods to achieve compliance with NO_x
10 emission standards for a combined cycle plant: (i)
11 through the use of dry low NO_x combustors ("DLN") in the
12 combustion turbine; or (ii) through the injection of
13 water or steam in the combustion turbine combustors in
14 conjunction with injection of ammonia and catalytic
15 reduction in Selective Catalytic Reduction equipment
16 ("SCR") located in the heat recovery steam generator.

17

18 Q. Would the use of Selective Catalytic Reduction equipment
19 ("SCR") enable Panda to comply with these Florida
20 environmental regulations?

21

22 A. No. While both the DLN and, to some extent, SCR
23 technologies are sufficiently developed to be accepted by
24 the engineering, regulatory, and financial communities,
25 the SCR technology has particular problems associated
26 with it that would make it difficult, if not impossible,

1 to meet the 15 PPM requirement over the 30 year contract
2 term.

3
4 Application of SCR to combustion turbines has been
5 primarily limited to natural gas fueled units. In
6 California, the state with the most significant
7 experience with SCR, only 11 of 41 permitted SCR
8 facilities have been permitted to fire oil as a backup
9 fuel, as is required for the facility. This is due to
10 the fact that the SCR catalyst promotes the oxidation of
11 flue gas SO_2 to SO_3 , which in turn reacts with un-reacted
12 ammonia to form compounds that foul equipment downstream,
13 including the SCR catalyst, rendering it ineffective.
14 Only one of these facilities has ever been fired on oil
15 (resulting in catalyst failure) and it no longer operates
16 with liquid fuels. This factor alone virtually
17 disqualifies SCR technology, and any turbines that cannot
18 meet environmental standards without it, for use by
19 Panda-Kathleen.

20
21 In addition, there are certain inherent safety and
22 environmental risks associated with the use of SCR
23 technology. The safety risks include leaks in an urban
24 environment during the transportation, storage, and
25 handling of the ammonia required for the SCR. Ammonia is
26 designated as an "Extraordinarily Hazardous Substance"
27 under Federal Superfund Regulations. The environmental

1 risks include malfunctioning of the SCR and its control
2 system, ammonia slip (i.e., the mismatch between the
3 ammonia injected and the ammonia needed for NO_x reduction
4 during operation), and the disposal at the end of its
5 useful life of spent SCR catalyst, which contains
6 substantial amounts of heavy metals and metal oxides that
7 are classified as hazardous (e.g., titanium, vanadium,
8 platinum, and rhodium). These safety and environmental
9 risks translate into financial risks for operator, owner,
10 and lenders. In addition, a facility using SCR
11 technology will have a higher capital cost and
12 substantially higher operating and maintenance costs than
13 one using DLN technology.

14
15 In addition to the advantages of DLN over SCR technology
16 for safety, environmental protection, and cost, DLN
17 technology also offers operability advantages. These
18 include smoothness and reliability during combustor mode
19 changes, gas turbine load changes, and system transients.
20 In addition, unlike SCR equipment, the DLN system
21 operation is transparent to the plant operator.

22
23 The use of SCR technology is not preferred by either
24 engineers or regulators in several areas of the country
25 for the aforementioned reasons. Many consider the use of
26 SCR to control NO_x emissions as "extraordinary means" or
27 "heroic technology." The Panda-Kathleen project

1 considered using SCR technology only as a last resort in
2 the event that plant configurations using DLN could not
3 be employed.

4

5 **V. FINANCING CONSIDERATIONS IN CONFIGURATION SELECTION**

6 **Q. How did all of the factors you've described affect plant**
7 **financeability?**

8

9 A. Potential lending and equity participants in the
10 Panda-Kathleen project will look not only at its
11 financial strength but also at the plant design and
12 selection of equipment. To be financeable, the plant
13 must incorporate previously applied technology that has
14 been thoroughly proven in other applications and must
15 incorporate that equipment to produce a plant with high
16 reliability over the term of the power contract. The
17 only viable plant option that would meet all these
18 requirements and could be built and operated as a QF with
19 the capacity and energy payment streams provided under
20 the Contract is a combined cycle facility.

21

22

23 **VI. EQUIPMENT SELECTION TO COMPLY WITH THE PANDA-FPC CONTRACT**

24 **Q. What brands of equipment and models did Panda consider in**
25 **the configuration selection process?**

26

1 A. Based on the Contract performance requirements and design
2 issues, Panda performed a detailed evaluation of six
3 combustion turbine alternatives for the combined cycle
4 plant. Several other configurations were evaluated on a
5 preliminary basis. The number of alternative combustion
6 turbines is limited by equipment availability since,
7 unlike conventional steam plants that custom-tailor the
8 steam turbine performance, combustion turbines come only
9 in standard sizes predetermined by the manufacturers.
10 The six configurations evaluated cover a wide range of
11 performance. These were the ABB 8C, Siemens V64.3, GE
12 LM2500, GE LM6000, GE Frame 7EA, and the ABB 11N1
13 combustion turbines.

14
15 The ABB 8C combined cycle facility was unable to produce
16 the necessary minimum rated output of 100 MW at 59° F net
17 of parasitic loads (to overcome expected degradation and
18 line losses) without extensive supplemental firing of the
19 heat recovery steam generator (HRSG) and the use of SCR
20 technology for NOx control to 15 PPM. Supplemental
21 firing of the HRSG is not the most efficient use of fuel
22 for the QF concept. The disadvantages of SCR technology
23 have already been discussed. This configuration was
24 rejected for these reasons.

25
26 Similarly, the Siemens V64.3 combined cycle facility also
27 was unable to produce the necessary minimum rated output

1 of 100 MW at 59° F net of parasitic loads without
2 supplemental firing of the HRSG. Further, NO_x emissions
3 cannot be controlled to 15 PPM without the use of SCR.
4 For these reasons, this configuration was rejected.

5
6 As with facilities using the ABB 8C or Siemens V64.3
7 units, a combined cycle facility using three combined GE
8 aero derivative LM2500 combustion turbines was unable to
9 produce the necessary minimum rated output of 100 MW at
10 59° F net of parasitic loads without supplemental firing
11 of the HRSG. NO_x emissions cannot be controlled to 15
12 PPM without the use of SCR. For these reasons, this
13 configuration was rejected.

14
15 The GE LM6000 aero derivative combined cycle facility
16 using two combustion turbines was determined to produce
17 109 MW net of parasitic loads at 59° F. This is 9 MW more
18 than the necessary minimum rated output. However, the
19 use of SCRs to control the NO_x emissions to 15 PPM is
20 required. In addition, the capital and O&M costs for
21 this configuration were greater than the costs associated
22 with more acceptable configurations. This configuration
23 was rejected for these reasons.

24
25 When new, the GE Frame 7EA combined cycle facility was
26 rated to produce 118 MW net of parasitic loads at 59° F.
27 Control of NO_x emissions to less than 15 PPM can be

1 obtained using DLN technology. Thus, this unit was
2 deemed to be acceptable.

3

4 When new, the ABB11N1 combined cycle facility was rated
5 to produce 116 MW net of parasitic loads at 59° F.
6 Control of NO_x emissions to 15 PPM can be obtained using
7 DLN technology. Therefore this unit also was deemed to
8 be acceptable.

9

10 **VII. PLANT CONFIGURATIONS SELECTED**

11 **Q. What brands of equipment and models did Panda ultimately**
12 **select based on this analysis?**

13

14 A. Based on the foregoing analysis, Panda determined that
15 the GE Frame 7EA and ABB11N1 combustion turbines are the
16 only reasonable plant configurations that could reliably
17 provide the Committed Capacity of 74.9 MW at the Point of
18 Delivery at all times over the 30-term of the Contract
19 under all weather conditions with the expected
20 degradation, parasitic loads, and losses. These
21 configurations are the lowest capacity units that meet
22 these criteria. The analysis indicated that both were
23 equally capable from a technical and economic standpoint.
24 Both combustion turbine manufacturers were willing to
25 guarantee DLN technology to meet 15 PPM. While Panda
26 submitted both configurations for permitting, ultimately
27 only ABB was able to guarantee timely delivery of its

1 combustion and steam turbines in accordance with the
2 schedule set forth in Panda's EPC contract to assure the
3 plant would achieve Commercial In-Service Status in
4 accordance with the power purchase contract.

5

6 Q. Does this conclude your testimony?

7

8 A. Yes, it does.

9

1 MR. ROSS: And there are no exhibits attached
2 to Mr. Dietz's prefiled testimony, therefore we tender
3 Mr. Dietz for cross-examination.

4 CHAIRMAN CLARK: All right, let me make sure.
5 He can give a summary if you --

6 MR. ROSS: I'm sorry. It's getting late in
7 the day. Please give a summary of your testimony,
8 Mr. Dietz.

9 WITNESS DIETZ: My direct prefiled testimony
10 describes in detail the analysis that Panda performed
11 that ultimately led to the decision to use the ABB 11N1
12 combustion turbine in a combined cycle configuration for
13 the Panda-Kathleen project.

14 During the time of these analysis, I was
15 director of engineering and operations for Panda Energy
16 and had responsibility for conducting the analysis and
17 the evaluations of the various combustion turbine
18 equipment that Panda could use to satisfy the committed
19 capacity requirements of the standard offer contract.

20 In performing my engineering analysis, I
21 considered the impact of the Florida climate and other
22 sources of performance degradation on the output of the
23 plant and came to the conclusion that as a matter of
24 prudent engineering practice, that Panda should
25 construct a facility of 100 megawatts net electrical

1 output in order to meet its contractual commitments to
2 provide 74.9 megawatts of committed capacity to Florida
3 Power under all conditions for the term of the contract
4 that we have with Florida Power.

5 I also analyzed whether the available units
6 and equipment configurations would meet the state of
7 Florida air emissions requirements. These requirements
8 changed substantially from the time we signed the
9 contract until the time that we selected the equipment
10 configuration, primarily with the NOX emissions from the
11 equipment going from 25 parts per million down to 15
12 parts per million.

13 I determined after these analyses that there
14 was only two equipment configurations available, the ABB
15 11N1 and the GE Frame 7EA that were capable of meeting
16 the 74.9 megawatts of committed capacity under all
17 conditions during the life of the contract, and also to
18 meet the Florida environmental emissions requirements.

19 The ABB 11N1 has an output of about 115
20 megawatts net, and the Frame 7EA has a few more
21 megawatts available, about 117.

22 We ultimately selected the ABB 11N1 combustion
23 turbine because of the manufacturer's guarantees that
24 they could meet the schedule that was required in order
25 to build the facility in time to meet the scheduled

1 on-line dates.

2 That concludes a brief summary of my
3 testimony.

4 MR. ROSS: Thank you. We now tender Mr. Dietz
5 for cross-examination.

6 CHAIRMAN CLARK: Mr. Froeschle?

7 MR. FROESCHLE: Thank you.

8 CROSS-EXAMINATION

9 BY MR. FROESCHLE:

10 Q Mr. Dietz, how many engineers are employed by
11 Panda?

12 A Currently Panda has about five engineers.

13 Q In 1991, how many engineers did Panda have?

14 A Panda did not have any engineers.

15 Q When did they first hire an engineer?

16 A August of 1992.

17 Q Who was that person?

18 A That was me.

19 Q Have you since been involved in the hiring of
20 other engineers?

21 A Yes, I have.

22 Q And you now have four engineers that work for
23 you?

24 A We have four engineers with the company. Some
25 work for me and some work for other people.

1 Q Is Darol Lindloff one of those persons?

2 A Mr. Lindloff is the vice-president of
3 technical services. He does not report to me. I'm
4 director of engineering and operations.

5 Q But is he an engineer?

6 A No, he is not.

7 Q Is he a turbine expert?

8 A I think over the years that he has gained
9 substantial familiarization of combustion turbine
10 characteristics and understands the application of
11 combustion turbines.

12 Q Does he select turbines?

13 A He has selected turbines.

14 Q On what occasions?

15 A He selected the combustion turbines that were
16 initially proposed for the Panda-Kathleen project.

17 Q Mr. Lindloff did?

18 A Yes, he did.

19 Q And at what point in time was that?

20 A I'm not exactly sure. At the time that the
21 proposal was submitted to Florida Power Corp. would have
22 to be the time. I was not with the company at that
23 time.

24 Q So that predated your employment by Panda?

25 A That's correct. I didn't join Panda until

1 August of 1992.

2 Q Do you know if Mr. Lindloff was involved in
3 the determination of the turbines that would be used in
4 the initial configuration of the project?

5 A That is my understanding.

6 Q That he was?

7 A Yes.

8 Q Does Mr. Lindloff work in the area of
9 environmental regulations?

10 A No, he does not.

11 Q Is he knowledgeable in matters of aircraft
12 derivative machinery?

13 A I think that question would be better answered
14 by Mr. Lindloff.

15 Q Do you have any knowledge of it at all?

16 A I have knowledge of it, yes, but he would be
17 the best one to provide you that answer.

18 Q Well, I was just asking what you know of his
19 knowledge.

20 A I think he's knowledgeable in aircraft
21 derivative.

22 Q I would like to turn your attention to the
23 standard offer contract which Panda entered into with
24 Florida Power. Do you have a copy of that before you?

25 A No, I do not. Is it in this book? I have it

1 before me now.

2 Q I would like to direct your attention to
3 paragraph 7.1. Do you have that before you?

4 A Yes, I do.

5 Q What does paragraph 7.1 refer to?

6 A Refers to the committed capacity.

7 Q Would you agree that there is a blank left
8 there for the amount of the committed capacity?

9 A There is no blank in this contract that I have
10 in front of me.

11 Q Would you agree that the standard offer
12 contract was initially blank and that there was a number
13 filled into that space?

14 A I cannot answer that. I do not know for
15 certain. I never saw a blank or an unfilled in standard
16 offer contract.

17 Q Do you have any knowledge of where the number
18 74,900 came from?

19 A My understanding is that Panda provided that
20 number.

21 Q Do you know who in Panda was the person who
22 determined that number?

23 A I do not.

24 Q You would agree, however, that that number
25 wasn't assigned to Panda by Florida Power or any other

1 party?

2 A I don't understand the question. Do I
3 understand -- would you repeat the question, please?

4 Q I'm just asking you if you would agree that
5 that number was not chosen by another person, another
6 entity?

7 A I have no knowledge.

8 Q You have no knowledge. Do you know if at the
9 time that that number was selected, whether there was a
10 design in existence?

11 A I do not.

12 Q Do you know if there was any kind of
13 configuration that had been preliminarily or in any
14 other way drawn up?

15 A I do not.

16 Q Are you familiar with the amended and restated
17 notice of self certification as a qualifying
18 cogeneration facility which has been admitted into
19 evidence previously at this proceeding?

20 A What is the question, please? I don't
21 understand the question.

22 Q What I'm asking you is, are you familiar with
23 the amended and restated notice of self-certification as
24 a qualifying cogeneration facility, which has already
25 been admitted into evidence at this proceeding as Robert

1 Dolan's Composite Exhibit No. 1?

2 A If I could look at it, I could probably answer
3 the question.

4 (Pause)

5 A This looks like an application for self-
6 certification.

7 Q Excuse me?

8 A This looks like the application for self-
9 certification.

10 Q If I might --

11 A It in itself is not the approved -- an
12 approved FERC document.

13 CHAIRMAN CLARK: While they're looking for
14 that, let me ask you a question. When I read your
15 testimony, you spent a good deal of time talking about
16 the mitigation, the NOX mitigation approaches, and one
17 of them was, let's see, the one that used ammonia.

18 WITNESS DIETZ: Selective Catalytic Reduction.

19 CHAIRMAN CLARK: And you explained the
20 difficulties with that. And then you conclude by saying
21 that had an impact on the financeability of it. Did it
22 have an impact on the size of the facility you could
23 build? I took that to be what your testimony was
24 intending to accomplish is to explain why you needed to
25 build 115 megawatts to meet the 74.9, and I did not see

1 how the discussion of the SCR technology impacted the
2 size of it.

3 WITNESS DIETZ: The SCR technology in
4 itself -- basically the conclusion in my testimony was
5 that SCR technology is not viable.

6 CHAIRMAN CLARK: Right.

7 WITNESS DIETZ: And the reason for that is
8 that the facilities that have operated using SCR
9 technology in California, only 11 of the 40 some odd
10 facilities at the time I did that evaluation were
11 permitted to use oil, which we were going to use as a
12 backup fuel. Only one facility ever tried to burn oil
13 and it so fouled up their SCRs, that it basically
14 completely ruined them, and they basically had to throw
15 them out and they've never burned oil again.

16 CHAIRMAN CLARK: I guess I wanted to make sure
17 I didn't miss anything, that you weren't saying that
18 that had an impact on the size unit.

19 WITNESS DIETZ: No, no, that in itself did
20 not. The SCR technology -- basically when the SCR
21 technology was not viable, that meant we had to go with
22 the dry low NOX technology, of which just the ABB 11N1
23 and the Frame 70A had the dry low NOX technology at the
24 time that we selected the configuration.

25 CHAIRMAN CLARK: So that's how it relates to

1 the configuration; you could not use the other
2 technology. All right. That wasn't clear to me, I'm
3 sorry.

4 Mr. Froeschle, go ahead. Have you found the
5 document you wanted to ask him about?

6 MR. FROESCHLE: Yes. If I might interrupt
7 that line of questions and ask a follow-up question.

8 BY MR. FROESCHLE:

9 Q Regarding the technology, the SCR versus the
10 dry low NOX technology, was it a matter that you could
11 not use SCR technology, or was it a matter of choice?

12 A We didn't believe SCR technology was viable.
13 Because the oil, firing on oil, which is a backup fuel
14 for this facility, fouled the SCRs.

15 Q So it's your testimony that you could not
16 build a facility using the SCR technology?

17 A Well, you could always build one, but it isn't
18 going to work.

19 Q So you could build a facility that way?

20 A But it isn't going to work. So why would you
21 build a facility that isn't going to work?

22 Q Why wouldn't it work?

23 A Because the SCRs would be fouled, and you
24 would basically have to go in and replace the SCRs.

25 CHAIRMAN CLARK: As I understood it, the SCRs

1 would be fouled because your backup fuel was No. 2 oil.

2 WITNESS DIETZ: Right, that is correct. The
3 sulfur in the backup fuel will foul -- in reaction with
4 ammonia, will end up fouling the catalyst. And the
5 catalyst itself has many heavy metals in it, including
6 platinum, vanadium, rhodium, and these are considered
7 not a desirable product that you need to dispose of.
8 It's considered a hazardous product. And if you --
9 every time you burn oil, if you have to go in and
10 replace millions of dollars of these catalysts, then
11 it's just truly not viable.

12 CHAIRMAN CLARK: Okay, Mr. Froeschle, go
13 ahead.

14 BY MR. FROESCHLE:

15 Q Is it the case that the SCR technology would
16 not work because you were using oil as a backup fuel; is
17 that correct?

18 A It was sulfur in the backup fuel, that's
19 correct.

20 Q Isn't it true that you could have used another
21 backup fuel?

22 A There isn't another backup fuel that's
23 reliably available in the area.

24 Q On what do you base that statement?

25 A Basically, the other backup fuels that you

1 have, there is not the distribution system to distribute
2 the quantity of fuel that would be required in the event
3 that your facility got curtailed from using natural gas
4 and you had to go to the backup fuel.

5 Q So you're saying that the other fuels would
6 not -- there would be an insufficient supply?

7 A That's correct.

8 Q So it isn't the technology, it's the backup
9 fuel supply that makes it impossible?

10 A Well, it all works together, hand in glove.

11 CHAIRMAN CLARK: Mr. Dietz, would you clarify
12 for me what the other backup fuel would have been?

13 WITNESS DIETZ: You could potentially use
14 propane as a backup fuel.

15 CHAIRMAN CLARK: Can't you store propane like
16 you would store oil? I mean, I know it's not the same
17 technology, but can't you store propane on site?

18 WITNESS DIETZ: Yes. There's not a problem
19 with the storing of the propane. It's the quantities of
20 propane that would be required in the event that you
21 needed a large quantity of it immediately.

22 CHAIRMAN CLARK: Go ahead, Mr. Froeschle.

23 BY MR. FROESCHLE:

24 Q But isn't it true that Panda chose, as a
25 backup fuel, oil?

1 A That is correct. And Panda reviewed that with
2 Florida Power Corp. prior to my coming on to the
3 project.

4 Q But isn't it also true that it's Panda's
5 responsibility to design and build the facility?

6 A And we've taken that responsibility to heart,
7 and we have.

8 Q But it was your choice on the design, wasn't
9 it?

10 A That is correct.

11 Q Now I asked you to place in front of you,
12 before that digression, the amended and restated notice
13 of self-certification as a qualifying cogeneration
14 facility. Do you still have that?

15 A I have an application for it. It was here a
16 minute ago. I do not have a FERC-certified copy of it.

17 MR. FROESCHLE: Madam Chairman, I want to
18 check to see whether he has the correct document in
19 front of him, because what I have that I am referring to
20 is an amended and restated notice of self-certification,
21 as opposed to an application. I just want to make sure
22 he's got the right document.

23 CHAIRMAN CLARK: That's fine.

24 WITNESS DIETZ: It's the filing, but it's not
25 the -- it's a filing, but I don't see any FERC stamp or

1 acceptance on it.

2 BY MR. FROESCHLE:

3 Q That's correct, it is a filing. And who was
4 it made by?

5 A It was made by Ed Gwynn.

6 Q On behalf of Panda; isn't that correct?

7 A Yes.

8 Q And in that document, doesn't it state that
9 the facility will have an estimated net maximum
10 capacity, at design conditions, of 74.9 megawatts?

11 A In the letter it says estimated net maximum
12 design capacity of 150 megawatts and a steam generation
13 of 50,000 pounds an hour on the letter.

14 Q I am referring to the amended notice at the
15 bottom of the page.

16 A You mean the -- not on the letter page?

17 Q Page 2 of 3 of Exhibit RDD-1.

18 A Okay, the letter says 150 megawatts and steam
19 generation of 50,000 pounds an hour. That covers sheet
20 2 of 3.

21 Q Let me try to clarify and see if I can get
22 this clear enough for you.

23 MR. ROSS: Madam Chairman, may I interpose an
24 objection?

25 CHAIRMAN CLARK: You can't all talk at once.

1 The court reporter can only get one of you. Just hang
2 on a minute, Mr. Dietz.

3 MR. ROSS: Let me interpose an objection. I'm
4 sorry.

5 CHAIRMAN CLARK: Mr. Froeschle, what were you
6 going to say?

7 MR. FROESCHLE: What I would like to do is
8 just ask a couple questions. I believe I understand
9 where his confusion on this issue might be.

10 CHAIRMAN CLARK: Ask your question and then
11 we'll give Mr. Ross an opportunity to object if he
12 chooses to.

13 MR. FROESCHLE: Thank you very much.

14 BY MR. FROESCHLE:

15 Q I'm looking now at Sheet 1 of 3 of Exhibit
16 RDD-1. Are you there?

17 A Yes.

18 Q And that's a letter dated October 7th, 1991,
19 isn't it?

20 A That's correct.

21 Q And in that letter, doesn't it state that this
22 notice will amend and restate a previous -- a previous
23 self-certification, No. 91-62, which was filed by Panda
24 Energy Corporation, and listed the estimated net maximum
25 design capacity at 150 megawatts and steam generation at

1 50,000 pounds per hour; is that correct?

2 A That's correct.

3 Q So would you agree now that this amended and
4 restated notice, which is attached to that letter, is in
5 fact a restatement of the quantities that were being
6 certified to FERC?

7 MR. ROSS: While he's looking, let me state my
8 objection at this point. Maybe we can move things
9 along. I'm not sure what any of this has to do with his
10 direct testimony. He hasn't testified about these FERC
11 applications. There hasn't even been established that
12 before just now he's even seen these things before. I
13 thought cross-examination was limited to the scope of
14 his direct.

15 MR. FROESCHLE: Madam Chairman, Mr. Dietz has
16 testified as to the size of the facility, and this is an
17 aspect of that issue. The certification that we have
18 here states that they will build a facility 74.9
19 megawatts net.

20 CHAIRMAN CLARK: Mr. Ross, I think he can
21 explore previous decisions on what to use as a way of
22 testing the validity of his testimony now.

23 Why don't you ask your question, that last
24 question again, and Mr. Dietz, if you will answer.

25 MR. FROESCHLE: I would ask that it be read

1 back.

2 (Record read.)

3 WITNESS DIETZ: The answer to that is yes. As
4 of October 7th, 1991. That is correct.

5 BY MR. FROESCHLE:

6 Q What do the terms "net maximum capacity at
7 design conditions of 74.9 megawatts" mean to you?

8 A I think they're self-explanatory with the
9 exception of design conditions. I don't know what the
10 design conditions are, since they're not in the letter.

11 Q Well, I'm asking what meaning you give to the
12 words "net maximum capacity at design conditions".

13 A In connection with this case, I would say the
14 design conditions would have to be at least 102 degrees
15 Fahrenheit with an appropriate relative humidity to go
16 along with that, and that would say that we would have
17 to have a maximum capacity at 74.9 megawatts.

18 Q So you would agree that the net maximum
19 capacity of the facility that was certified to FERC in
20 this document was 74.9 megawatts?

21 A That's correct.

22 Q And you would agree with me that Panda was
23 responsible for the design of the facility; would you
24 not?

25 A That's correct.

1 Q Therefore, wouldn't you agree that Panda, in
2 its certification to FERC and in this capacity statement
3 in the contract, was intending to design a facility that
4 would be no larger than 74.9 megawatts?

5 A It appears that way in October of 1991.

6 Q Now, on Page 7, Lines 11 to 13 of your
7 testimony, I would ask you first to go to that point in
8 your testimony. Are you there?

9 A Yes, I am.

10 Q In that portion of your testimony, you were
11 asked the question: "Did Panda consider size
12 restrictions in its contract with Florida Power in
13 selecting a configuration for the Panda facility?"

14 You answer that, "There are no provisions in
15 the power purchase agreement that restrict the
16 electrical generating capability of the plant." Would
17 you agree with that?

18 A Yes, I did. I so submitted in my direct filed
19 testimony.

20 Q Are you familiar with the title to the
21 standard offer contract?

22 A Yes, I am.

23 Q Could you please read it for the record?

24 A Before the Florida Public Service Commission,
25 Testimony of Darol -- whoops. I can't find the first

1 page of the contract here.

2 Standard Offer Contract for the Purchase of
3 Firm Capacity and Energy From a Qualifying Facility Less
4 Than 75 Megawatts or a Solid Waste Facility.

5 Q What do the words in that title "Qualifying
6 Facility Less Than 75 Megawatts" mean to you?

7 A Since that was the only place that it was used
8 within the contract, and everywhere else it talked about
9 75 megawatts of committed capacity, and my understanding
10 is that the titles have no relevance in accordance to
11 one of the sections in the contract, that the 75
12 megawatts was for committed capacity.

13 Q I would like to explore that with you then. I
14 would like you to turn to -- I believe it's Sheet No.
15 9.505 in the upper right-hand corner. It looks to be
16 after the table of contents. It looks to be the first
17 page of the contract itself. Are you at that page?

18 A Yes, I am.

19 Q Would you agree that on this first page that
20 the same words that were used in the title of the
21 contract are repeated here?

22 A Yes.

23 Q Now, I would like you to go down the page a
24 little bit to right below witnesseth, and I would like
25 for you to read for us that paragraph that begins,

1 "Whereas."

2 A "Whereas, the QF desires to sell and the
3 Company desires to purchase electricity to be generated
4 by the facility and made available for the sale to the
5 Company, consistent with the FPSC Rules 25-17.080
6 through 25-17.091, in effect as of the execution
7 date" -- you want me to continue?

8 Q Would you agree then that the contract has
9 referenced the Florida Public Service Commission rules?

10 A I agree that it apparently has referenced
11 them, yes.

12 Q And that they -- this contract, in fact, is
13 intended to be consistent with those rules. Wouldn't
14 you agree with that?

15 A Even though I'm not a lawyer, to understand
16 complete legal terminology, that appears to be the case.

17 Q Okay. Have you read those rules?

18 A I've read them several years ago.

19 Q Have you read them since that time?

20 A I have not.

21 Q I would like to refer you to, attached to the
22 standard offer contract, the rules, and I would like to
23 ask that you turn to first the Rule 25-17.0832. Are you
24 there?

25 A No.

1 Q It's attached to the back of the contract. If
2 you have the version which is the attachment to Darol
3 Lindloff's testimony, it would be Sheet 72 of 88.

4 A And what is the paragraph number?

5 Q It would be paragraph 3, subparagraph -- just
6 one moment -- (a). If you could please read
7 subparagraph (3)(a) for the record.

8 A And that's on Page 72?

9 Q No, we've moved to Page 73. It would be
10 towards the bottom of the page.

11 A (3)(a), "Upon petition by a utility, or
12 pursuant to a Commission action, each public utility
13 shall submit for Commission approval a tariff, or
14 tariffs, and a standard offer contract, or contracts,
15 for the purchase of firm capacity and energy from small
16 qualifying facilities less than 75 megawatts, or from
17 solid waste facilities as defined in Rule 25-17.091."

18 Q Now, again, what do those terms "small
19 qualifying facilities less than 75 megawatts" mean to
20 you?

21 A The term here of "small qualifying facilities
22 of less than 75 megawatts," used in conjunction earlier
23 with the firm capacity, mean to me the 74.9 megawatts of
24 committed capacity that Panda has contracted for.

25 Q Do you see anywhere in this rule the words

1 "committed" or "capacity" or "contract"? One at a
2 time, if you please.

3 A It says, "Purchase of firm capacity and energy
4 from small qualifying facilities less than 75
5 megawatts." And to me that means the committed capacity
6 of 74.9 that is referenced in the contract. And in
7 particular --

8 Q Is the term "contract" in the rule?

9 A -- in particular in Article 2.1.2.

10 Q Are you referring me to a --

11 A "The facility" -- I'm sorry. 2.1.2, "The
12 facility having a committed capacity which is less than
13 75,000 kW." The two in conjunction, I read that then to
14 mean committed capacity.

15 Q So what you're saying is that committed
16 capacity --

17 A And firm capacity and energy from a small
18 qualifying facility less than 75 megawatts.

19 Q Those terms are synonymous?

20 A Yes.

21 Q I would ask that you now look at Page 72 of
22 88. And it's the same rule and it's Paragraph (1)(b),
23 and I would like for you to read (1)(b) through
24 subparagraph 2, for the record, please.

25 A Starting with, "In ten working days"?

1 Q Yes.

2 A (1)(b)?

3 Q Yes, please. (Pause)

4 CHAIRMAN CLARK: Mr. Dietz, I think he wants
5 you to read it out loud.

6 WITNESS DIETZ: Okay. I think you would have
7 to read it in conjunction with the lead-in paragraph
8 which is -- which starts out "Firm capacity and energy
9 are" --

10 CHAIRMAN CLARK: Mr. Dietz. Mr. Dietz. Would
11 you please read what he asked you to read? Your
12 attorney can ask you to read the other part on redirect.

13 WITNESS DIETZ: Thank you.

14 CHAIRMAN CLARK: Or you can further qualify
15 your answer.

16 WITNESS DIETZ: Okay, (b)(2)?

17 MR. FROESCHLE: I would like you to start with
18 (b) and read down through (2).

19 WITNESS DIETZ: "Within ten working days of
20 the execution of a negotiated contract for the purchase
21 of firm capacity and energy, or within ten working days
22 of receipt of a signed standard offer contract, the
23 purchasing utility shall file with the Commission a copy
24 of the signed contract and a summary of its terms and
25 conditions. At a minimum, such summary will report:

1 "No. 2, the amount of the committed capacity
2 specified in the contract, the size of the facility and
3 the type of facility, its location and its
4 interconnection and transmission requirements."

5 BY MR. FROESCHLE:

6 Q Would you agree with me that committed
7 capacity and the size of the facility are distinctly two
8 separate items in this rule?

9 A That appears that way.

10 Q Thank you. Going back to Page 7 of your
11 testimony, you stated that there were no provisions in
12 the power purchase agreement that restrict the
13 electrical generating capability of the plant?

14 A That is my interpretation of the contract.

15 Q In your opinion, do you believe Panda could
16 build a 1000 megawatt facility under this standard offer
17 contract?

18 A That's a highly speculative question, but,
19 yes, I believe, in speculation, that one could deduce
20 that.

21 COMMISSIONER GARCIA: Could you repeat the
22 question? I'm sorry, missed the question.

23 BY MR. FROESCHLE:

24 Q Mr. Dietz, in your opinion, could Panda build
25 a 1000 megawatt facility under this standard offer

1 contract?

2 A Speculatively, I believe that Panda could
3 build a 1000 megawatt facility. However, Panda has no
4 intentions of building one larger than is necessary to
5 meet the requirements of our contract and has so
6 demonstrated, as demonstrated in my testimony, by
7 selecting the smallest unit that's available that can
8 meet the capacity under all times and conditions, and to
9 meet the environmental regulations of the state of
10 Florida.

11 Q Why, if it was true that you could build a
12 1000 megawatt facility under this contract, did you size
13 it to the smallest possible facility?

14 A Because I believe that was in the spirit of
15 the standard offer contract.

16 Q So the spirit of the standard offer contract
17 is that you could have built any size, but Florida Power
18 didn't really want you to build one bigger than 75
19 megawatts?

20 A I can't answer to what Florida Power Corp.
21 wanted. I've never talked to them on this issue.

22 Q But didn't you just state that you believed
23 that that was the spirit of the contract?

24 MR. ROSS: Objection. That's exact opposite
25 of what he just stated. I would object to that

1 question, the form of the question.

2 COMMISSIONER GARCIA: Everybody's mumbling.
3 What did you --

4 MR. ROSS: I'm sorry. I objected to the
5 argumentative question. He just restated the witness's
6 testimony just exactly opposite of what he just said,
7 and then he said, "Isn't that what you just said?"

8 CHAIRMAN CLARK: Hang on a minute. Can you
9 please read back what the witness said?

10 MR. ROSS: Or he said, the spirit of the
11 contract.

12 (Record read.)

13 CHAIRMAN CLARK: Would you ask your question
14 again, Mr. Froeschle?

15 MR. FROESCHLE: Could I ask that she read that
16 one also, the next question?

17 CHAIRMAN CLARK: Could you read that one also?

18 (Record read.)

19 CHAIRMAN CLARK: I don't think it's entirely
20 clear what the answer to the question was. Let me see
21 if I can ask Mr. Froeschle to ask his question again.

22 As I understood your answer, though,
23 Mr. Dietz, it was that you believed the spirit of the
24 standard offer contract is that the facility be less
25 than 75 megawatts.

1 WITNESS DIETZ: I believe my answer was that
2 we wanted to make it as close to 74.9 megawatts as we
3 possibly could and meet our contractual commitment to
4 provide firm capacity over the term of the contract.

5 It is not our intention to build a facility
6 that sometimes makes 74.9 and other times doesn't make
7 74.9, because on the days that Florida Power Corp. needs
8 the power, which is sometimes the hottest days of the
9 year, they need to know that that 74.9 megawatts is
10 there. They've contracted with us for it. So
11 therefore, we wanted to build a plant that would meet
12 that commitment and build the smallest one that we
13 possibly could that would still make that 74.9 and still
14 build a plant that would meet the Florida environmental
15 requirements.

16 COMMISSIONER GARCIA: So your testimony is
17 that your plant size is the only plant size that could
18 meet that demand? In other words that was the smallest
19 possible that you could come in with to meet the demand
20 that you had contracted?

21 WITNESS DIETZ: That's correct. And that's
22 basically the basis for my prefiled testimony.

23 COMMISSIONER GARCIA: Just want to get it on.

24 WITNESS DIETZ: I appreciate the help.

25 BY MR. FROESCHLE:

1 Q Let me see if I can clarify that question with
2 your agreement. Would you agree that that's the
3 smallest you could build the facility under the self-
4 imposed limitations of using the particular backup fuel
5 which you chose to use, of not using inlet air cooling
6 and of having to perform to the contract requirements
7 upon the order of Florida Power at any given moment?
8 Would that be a statement you could agree with?

9 A No, I could not fully agree with that
10 statement. If you could break it down into complements,
11 I'll tell you which parts I agree with and which parts I
12 don't.

13 Q Do you know which ones, without my repeating
14 them, that you would disagree with?

15 A I think it would be best if we could do it one
16 by one.

17 CHAIRMAN CLARK: Even if he could do it, I
18 don't think we'd understand it.

19 BY MR. FROESCHLE:

20 Q You have stated that 115 megawatts is the
21 smallest facility which you could design and still
22 supply 74.9 megawatts of capacity on every single minute
23 of every day of every year of the contract for the life
24 of this contract; is that correct?

25 A That's correct.

1 Q All right. Now, you also -- you've also
2 agreed previously that Panda chose 74.9 megawatts of
3 capacity, right?

4 A That's correct.

5 Q All right, so we are working --

6 A Of committed capacity.

7 Q Okay.

8 A That's correct.

9 Q So we're working with certain self-imposed
10 issues here. In other words, Panda has chosen the
11 committed capacity which it wishes to supply. Now,
12 isn't it also true you could have designed a facility
13 that used inlet air cooling?

14 A And we did.

15 Q So you could have done that. Was the 115
16 megawatt facility, was that allowing for inlet air
17 cooling?

18 A 115, yes, it was, we have evaporative coolers
19 on the inlet of the combustion coolers.

20 Q So that would be -- 115 megawatt facility
21 would have that designed into it?

22 A That's correct.

23 Q What about the dry low NOX versus the SCR
24 technology for environmental limitations?

25 A That's designed in also.

1 Q That's designed in also.

2 Did you use inlet air cooling for the original
3 configurations of 74.9 megawatts?

4 A I don't know what was used for the original
5 74.9 megawatts.

6 Q Did you ever see that design or that
7 configuration?

8 A No, I did not.

9 Q And are you stating now that you have never
10 analyzed that particular --

11 A Yes, I've analyzed it later.

12 Q Can you tell me now whether that would
13 incorporate inlet air cooling?

14 A Yes. All the configurations that are in my
15 prefiled testimony -- and it starts over on Page --
16 basically on Page 19 and 20, that review all the
17 configurations that we looked at. I'm sorry, it starts
18 over on Page 18 -- 18, 19 and 20. All of them used
19 evaporative coolers for chilling the inlet air.

20 Q Isn't it true, though, that in your testimony
21 you stated that you would have to increase the size of
22 the facility by 15 to 19 percent because of the
23 temperature variations?

24 A That's correct.

25 Q And wouldn't that problem be alleviated by

1 inlet air cooling?

2 A Are you talking about the use of chillers or
3 inlet air cooling? We employ inlet air cooling, and the
4 15 to 19 percent degradation due to temperatures
5 includes evaporative coolers. So you have that in
6 addition to the evaporative coolers.

7 Q Let me ask you this question. Did your design
8 incorporate chillers?

9 A No, we did not.

10 Q And could you have designed a facility that
11 would have?

12 A Yes, we could have.

13 Q So you have made a choice there, a
14 self-limiting choice, of choosing not to use chillers;
15 is that correct?

16 A It would not have made an effect on the
17 outcome of the configuration selected.

18 Q On what do you base that statement?

19 A On the environmental requirements.

20 Q Now, I believe that you've stated that the
21 environmental requirements were tied into the backup
22 fuel used; is that correct?

23 A That's correct.

24 Q And I believe you've also testified that you
25 chose a particular backup fuel here, which was oil as

1 opposed to propane; is that correct?

2 A We chose the most readily available backup
3 fuel that we could, knowing that a reliable supply of
4 fuel is what's necessary under the contract. The most
5 readily available backup fuel is oil.

6 Q But, again, you have chosen to use a
7 particular fuel. We're not talking about an
8 impossibility, are we? You could have chosen another
9 fuel.

10 A Well, the reliability of a large quantity of
11 propane as a backup fuel is certainly suspect, and the
12 distribution system in the Lakeland area is certainly
13 suspect.

14 Q But again, you could have chosen another
15 backup fuel; couldn't you?

16 A Yes.

17 Q Thank you. And if you had chosen another
18 backup fuel, the self-limitation you've imposed on your
19 design parameters would have been alleviated; wouldn't
20 it?

21 A It would have been alleviated to the extent it
22 would have alleviated some technical requirements.
23 However, it would have violated the contract in having a
24 reliable supply of fuel at all times, which is part of
25 the contract.

1 Q So are you stating that your real reason why
2 you had to design the facility was because of the backup
3 fuel problem, not the environmental limitations?

4 A No, it was the environmental limitations due
5 to the fact that we needed a reliable backup -- reliable
6 supply of backup fuel.

7 Q Now, one other limitation that you have
8 seemingly imposed on your design parameters here is your
9 reference to nonmaintenance and maintenance recoverable
10 degradations of the turbines; is that correct?

11 A That is correct.

12 Q And I believe that you have stated that the
13 reason that those would have to be included in the
14 additional capacity you would have to design into the
15 facility is because Florida Power at any given moment of
16 any given day, any given year, could go in and require
17 you to show that the facility was producing 74.9
18 megawatts; is that correct?

19 A That's correct.

20 Q Could you cite me to the paragraph in the
21 contract where that states that?

22 A Panda signed a contract to provide 74.9
23 megawatts of committed capacity. Panda has -- and
24 believes that Florida Power needs to have that power
25 available at all times and under all conditions over the

1 life of the contract, and not under some sort of
2 specified test condition or excuse of performance under
3 other conditions. Florida Power Corp. needs to know
4 that that capacity is available. I cannot specify a
5 particular place in the contract that says that it has
6 to be under all times and all conditions. It says that
7 it -- we must provide 74.9 megawatts of committed
8 capacity. It doesn't say 74.9 megawatts of committed
9 capacity on sunny days or cloudy days, or you're excused
10 if the weather gets too cold or too hot. It's 74.9
11 megawatts of committed capacity.

12 Q I believe that that response was nonresponsive
13 to the question. I would now ask you to cite me where
14 in the contract it states --

15 A I believe I answered that I couldn't cite the
16 particular thing in the contract.

17 Q You cannot. Let me ask you to read, at this
18 time, paragraph 7.2 of the standard offer contract.

19 A "For the period ending one year immediately
20 after the contract in-service date, the QF may, on one
21 occasion only, increase or decrease the initial
22 committed capacity by no more than 10 percent of the
23 committed capacity specified in Section 7.1 hereof, upon
24 written notice to the Company, before such change is to
25 be effective, provided, however, that in no event shall

1 the committed capacity exceed 75,000 kilowatts, unless
2 the QF is a solid waste facility."

3 Q I apologize for having cited you to the wrong
4 paragraph, but I would like to ask you a question
5 regarding that particular paragraph. Would you agree
6 that that paragraph allowed -- would allow Panda to
7 reduce the committed capacity which it selected when it
8 submitted this offer to Florida Power?

9 A Yes, it would, on a selective basis.

10 Q And that selective basis being that it could
11 be done only one time in a year?

12 A That's -- only in the first year.

13 Q And that it would be by no more than ten
14 percent; would you agree with that?

15 A That's correct.

16 Q Have you ever calculated what that would mean
17 in terms of the committed capacity that Panda could have
18 lowered the committed capacity of the contract to?

19 A I did not specifically calculate it, but it's
20 roughly 7.5 megawatts, roughly.

21 Q So that would be a smaller capacity size of --

22 A That's correct.

23 Q -- 7.5 megawatts?

24 A That's correct.

25 Q So Panda could have reduced its committed

1 capacity under the contract and then had -- have some
2 leeway between the committed capacity in the contract
3 and the size of the facility; isn't that correct?

4 A That's correct.

5 Q Is it your testimony that there is no facility
6 whatsoever that could be designed if you -- If you
7 removed the self-restrictions on your design that you've
8 placed there, regarding fuel size, regarding the
9 chillers, regarding some of these other aspects of it,
10 are you -- is it your testimony that there is no
11 facility that could have been designed that would have
12 been less than 75 megawatts that would have provided the
13 committed capacity under this clause of this contract?

14 A Well, that's -- as long as we're speculating,
15 I assume that we probably could find one.

16 Q So you could design such a facility; you would
17 agree?

18 A We're just playing highly speculative games
19 here, yes.

20 Q I'm asking you in your professional engineer's
21 opinion, as a designer of these facilities, whether you
22 believe that you could design such a facility.

23 A I can't answer that here without going back
24 and looking at all the information that we have
25 available.

1 Q I would now like to have you read paragraph
2 7.4 from the contract.

3 A "The Company shall have the right to require
4 that the QF, not more than once in any 12-month period,
5 redemonstrate the commercial in-service status of the
6 facility within 60 days of the demand, provided,
7 however, that such demand shall be coordinated with the
8 QF so that the 60-day period for the redemonstration
9 period avoids, if practical, previously notified periods
10 of planned outages and reduction in capacity pursuant to
11 Article 5."

12 Q In your opinion, does that clause allow
13 Florida Power to designate the time that -- the specific
14 date, or time of day, or day of the week, or anything
15 else, when Panda would have to meet these requirements?

16 A It doesn't designate the time and doesn't
17 designate the Florida Power as being able to select the
18 time, but it doesn't prohibit it from doing so.

19 Q Would you agree that this provision allows the
20 Company to redemonstrate its commercial in-service
21 status within 60 days of the demand for that
22 recertification -- or redemonstration, excuse me.

23 A I'm sorry, could you repeat the question,
24 please?

25 Q Would you agree that under this paragraph,

1 7.4, that Panda would have 60 days to redemonstrate the
2 commercial in-service status of the facility?

3 A I believe that's what the paragraph says.

4 Q Therefore, Florida -- I withdraw that
5 question.

6 Now, at some point in time after the initial
7 self-certification of the facility at 74.9 megawatts,
8 was there -- apparently there was a redesign or a
9 reconfiguration of the facility; is that correct?

10 A Yes.

11 Q And at that point in time you determined that
12 the 75 megawatt facility was no longer viable; is that
13 correct?

14 A Panda was looking at other configurations at
15 about the time that I came on board. And my activities
16 when I came on board were to evaluate other types of
17 configurations.

18 Q Is it your testimony that Panda would have to
19 build a 115 megawatt facility in order to supply 74.9
20 megawatts of capacity; is that correct?

21 A That is my testimony.

22 Q That is your testimony.

23 MR. FROESCHLE: At this time I would like to
24 show you what was marked as Deposition Exhibit No. 57.

25 Madam Chairman, I believe this would be

1 Exhibit No. 26.

2 CHAIRMAN CLARK: I have 25. The last exhibit
3 was JCB-1 and 2.

4 MR. FROESCHLE: So this is Exhibit 25?

5 CHAIRMAN CLARK: That's what I have, because
6 there were no exhibits to Mr. Dietz' testimony.

7 MR. FROESCHLE: We had miscounted that.

8 CHAIRMAN CLARK: This is a deposition exhibit
9 and it was taken at whose deposition?

10 MR. FROESCHLE: This was taken at the
11 deposition of Mr. Dietz.

12 CHAIRMAN CLARK: And what was the date?

13 MR. FROESCHLE: If I might have a moment.

14 (Pause)

15 MR. FROESCHLE: Madam Chairman, the date of
16 the deposition was January 9th, 1996.

17 CHAIRMAN CLARK: All right, we'll mark as
18 Exhibit 25 Deposition Exhibit No. 57 from Mr. Dietz'
19 January -- 25th?

20 MR. FROESCHLE: January 9th.

21 CHAIRMAN CLARK: -- January 9th deposition.

22 (Exhibit No. 25 marked for identification.)

23 CHAIRMAN CLARK: Go ahead with your
24 questions.

25 MR. FROESCHLE: Thank you.

1 BY MR. FROESCHLE:

2 Q Do you have before you now what's been marked
3 as Exhibit 25?

4 A Yes, I do.

5 Q Do you recognize that document?

6 A Yes, I do.

7 Q And what does that document provide for?

8 A It's an invitation to come to a meeting to be
9 conducted by Taylor Cheek to discuss a strategy meeting
10 for 35 megawatts of sale from the Panda-Kathleen to the
11 City of Lakeland.

12 Q Is this from the same facility for which you
13 have been talking about would have to be sized at 115
14 megawatts to provide 74.9 megawatts to Florida Power?

15 A It appears that way, yes.

16 MR. FROESCHLE: If I might have a moment, Your
17 Honor -- Madam Chairman, excuse me.

18 Madam Chairman, I would like to use a document
19 that has already been provided to the Commission under
20 rebuttal testimony, but it has not been yet admitted at
21 this proceeding. So I would request guidance as to
22 whether you would like to refer to it in the testimony
23 exhibits or if you would like me to separately offer it.

24 CHAIRMAN CLARK: Why don't we separately
25 identify it? Do you have copies of it?

1 MR. FROESCHLE: Yes, I do.

2 CHAIRMAN CLARK: We'll go ahead and do that.

3 MR. FROESCHLE: It is Deposition Exhibit 77.

4 CHAIRMAN CLARK: It's Deposition Exhibit No.
5 77 from Mr. Dietz's January 9th, 1996 deposition?

6 MR. FROESCHLE: Yes. I would ask that this
7 exhibit be marked Exhibit 26.

8 CHAIRMAN CLARK: It will be marked as Exhibit
9 26.

10 (Exhibit No. 26 marked for identification.)

11 BY MR. FROESCHLE:

12 Q Mr. Dietz, do you have this Exhibit 26 in
13 front of you now?

14 A Yes, I do.

15 Q What is this? Do you recognize it?

16 A This appears to be a proposal from Taylor
17 Cheek of Panda Energy to the City of Lakeland for 35
18 megawatts of electric capacity and energy.

19 Q Would you agree that the 35 megawatt
20 brainstorming session ultimately led to an offer to
21 Lakeland to sell power? Would you agree with that
22 statement?

23 A I would say that could have contributed to
24 it.

25 Q And would you also agree, then, that that was

1 from the same facility which you believe had to be sized
2 at 115 megawatts to provide 74.9 megawatts to Florida
3 Power under the standard offer contract?

4 A That is correct. At that meeting that was
5 referred to in the first memo, I went to it and
6 basically said it couldn't be done, and basically I was
7 excluded from all activities regarding this proposal
8 after that.

9 Q I appreciate that qualification, although I
10 wasn't asking for that. But that's fine. I would like
11 to ask you at this time, since that proposal was made,
12 how Panda was intending to supply that 35 megawatts of
13 firm capacity.

14 A I have no clue. It couldn't be done from our
15 facility, because obviously we needed at least 100
16 megawatts in order to satisfy -- as it was in my
17 testimony -- in order to satisfy the 74.9 megawatts of
18 committed capacity for Florida Power Corp. under the
19 standard offer contract. So I had no idea how these
20 people were going to do it. I believe that earlier
21 today that Mr. Killian testified that this was an
22 unauthorized proposal that went out and that the
23 proposal was in the process of being recalled when the
24 city had rejected it.

25 Q I would like to refer you, then, to that offer

1 where there is -- at the bottom of this April 4th, 1994
2 offer made, a CC to Ralph Killian, and I would ask you
3 to tell me what his position was with Panda at the time
4 that this offer was made.

5 A I believe he was senior vice president.

6 Q And Mr. Darol Lindloff?

7 A Vice president.

8 Q And Mr. Todd Carter?

9 A He was president of Pan-Oak, which is an
10 expiration and gathering -- expiration company for fuel.

11 Q Now at the time that this offer was made, did
12 you remain the head engineer in charge of this project?

13 A At the time this offer was made it was made
14 independent of me.

15 Q I was asking you, however, if you remained the
16 head engineer in charge of the project.

17 A I was -- yes.

18 Q So in other words, as the head engineer who is
19 designing this facility, you were completely at odds
20 with these persons who you've identified as to how much
21 capacity that plant would be able to supply; is that
22 correct?

23 A I was at odds with Taylor Cheek on how much
24 capacity could be supplied from the facility.

25 Q Now these people -- excuse me, I didn't mean

1 to interrupt.

2 A I don't believe that Darol Lindloff was
3 involved at that time in anything to do with either this
4 proposal or the project, either one. He was typically
5 put on there as a matter of courtesy. He was pretty
6 actively involved in developing some projects in China
7 at that time.

8 Ralph Killian, in -- of course you questioned
9 him earlier regarding his activities at this time, so I
10 can't answer for what his knowledge was on it.

11 Q But you were at odds with this proposal?

12 A That is correct.

13 Q And these persons were copied with this
14 proposal; is that correct?

15 A That is correct.

16 Q And that was dated April 4th, 1994; is that
17 correct?

18 A The proposal is dated April 4th, 1994.

19 Q I would like to show you now deposition
20 Exhibit No. 60 from that same deposition.

21 CHAIRMAN CLARK: We'll identify as Exhibit 27,
22 Deposition --

23 MR. FROESCHLE: Madam Chairman, if I might
24 apologize, I've gotten one exhibit ahead of myself, and
25 if we could just hold on to this one, I would like to

1 offer another one in advance of that one. So if we
2 could set that to the side.

3 CHAIRMAN CLARK: Okay.

4 MR. FROESCHLE: At this time I would like to
5 show the witness Deposition Exhibit 78 from that same
6 deposition.

7 CHAIRMAN CLARK: Exhibit 78 from Mr. Dietz'
8 January 9th, 1996 deposition will be marked as
9 Exhibit 27.

10 (Exhibit No. 27 marked for identification.)

11 BY MR. FROESCHLE:

12 Q Mr. Dietz, do you have Exhibit 27 before you?

13 A Yes.

14 Q What is the date on that document?

15 A April 5th, 1994.

16 Q '94? Is that correct?

17 A Yes.

18 Q Would you agree that that's the day after the
19 offer was made to the City of Lakeland?

20 A That's correct.

21 Q Would you read down there the second -- well,
22 it looks like a bullet point, and it states Project
23 Description?

24 A Yes.

25 Q And by that is the name Brian?

1 A That's correct.

2 Q Do you know who that is referring to?

3 A That is referring to me.

4 Q And that project description, under the first
5 subpoint there, has the word 75 megawatts versus 110
6 megawatts; is that correct?

7 A That's correct.

8 Q And could you tell me what the purpose of that
9 agenda item was?

10 A Yes. This was an agenda item for the Panda-
11 Kathleen prebid conference with the engineer, procure
12 constructors, that was held in Lakeland on the 5th of
13 April. The team that we had down there included Ted
14 Hollon, who was our vice president of construction,
15 included myself, and it included Kyle Woodruff, who had
16 joined the Company within just a few days prior to that,
17 who was to be the project manager for the Panda-Kathleen
18 project, taking over, basically, from Ted, who was
19 acting in that position prior to that.

20 The prebid meeting was to acquaint the bidders
21 with the site at Lakeland and to introduce them to the
22 project. Under the project description, the 75
23 megawatts versus the 110 megawatts was to explain
24 basically to them the fact that we had a 74.9 megawatt
25 committed capacity and that we needed to build a larger-

1 sized facility in order to meet that committed capacity
2 and to explain the reasoning behind that.

3 Mr. Hollon, who wrote this document -- and it
4 was primarily for our internal use at the meeting, to
5 make sure that we didn't forget anything on the
6 agenda -- mistakenly put 110 megawatts as opposed to the
7 115 megawatts. The remaining part of the agenda
8 discusses items that were of interest to the potential
9 bidders for the project.

10 Q Would you agree that 75 plus 35 equals 110?

11 A Yes, I do.

12 Q Thank you. I now would like to refer to the
13 other document which we just distributed, Deposition
14 Exhibit 60 from that same deposition.

15 CHAIRMAN CLARK: Deposition Exhibit 60 from
16 Mr. Dietz' January 9th, 1996 deposition will be marked
17 as Exhibit 28.

18 (Exhibit No. 28 marked for identification.)

19 BY MR. FROESCHLE:

20 Q Do you have that Exhibit 28 before you now?

21 A Yes, I do.

22 Q Do you know what that is?

23 A This appears to be the letter of rejection
24 from the City of Lakeland to our proposal of April 4th.

25 Q When is it dated?

1 A May 2nd.

2 Q So approximately one month passed from the
3 time that the renegade offer was made until this letter
4 of rejection came from Lakeland; is that correct?

5 A It appears to be that way.

6 Q Do you have any evidence -- or excuse me, let
7 me withdraw that question.

8 Did Panda ever convey to the City of Lakeland
9 that the offer made was either incorrect or improper or
10 anything else of that nature?

11 A I don't know. I wasn't involved -- I was not
12 involved in the offer process. I was not included in
13 any of the meetings after the first meeting.

14 Q Have you ever seen any documents that would so
15 raise that point with the City of Lakeland?

16 A No.

17 Q Would you agree that it was the City of
18 Lakeland, not Panda, that chose not to conclude this
19 offer made by Panda?

20 A I can't answer that question. I have -- don't
21 have enough knowledge to know that.

22 Q Would you like to take the time to read this
23 document?

24 A Not particularly. I believe Mr. Killian
25 discussed that in much more detail in his testimony

1 earlier.

2 MR. FROESCHLE: I have no other questions at
3 this time.

4 CHAIRMAN CLARK: Thank you. Staff?

5 CROSS-EXAMINATION

6 BY MS. WAGNER:

7 Q Mr. Dietz, we only have a few questions for
8 you, and basically it's regarding the size of the
9 facility and how you determine that size. First, I
10 would like to ask you, are there -- do power plants come
11 in discrete sizes?

12 A Yes, they do. Combined cycle facilities,
13 which use combustion turbines and heat recovery steam
14 generators and steam turbines, come in discrete sizes,
15 unlike other power plants where a particular size is
16 selected and they just automatically design the steam
17 turbine specifically for a particular size. Combustion
18 turbines, because of their technology, come in a size.
19 The only modifications you can get to that, basically,
20 are due to the burner technology, whether you have dry
21 low NOX technology or whether you use regular
22 technology, but that's only just a megawatt or two
23 difference on a turbine that might be about 75
24 megawatts. So they come in discrete building block
25 sizes.

1 Q So you could not build one, let's say, that's
2 like 86 megawatts or anything like that?

3 A You would basically have to go out and look at
4 what's available. And, for instance, GE happens to make
5 an 80 megawatt turbine. The GE Frame 7EA is an example,
6 and that's one of the ones that we considered. But
7 they, at least at the time we did this, did not have a,
8 quote, "86 megawatt," or you couldn't buy an 87.5
9 megawatt. The next size of turbine they might make
10 would be up substantially larger than that.

11 Q Would you agree that there's nothing really
12 wrong with the philosophy of maximizing your profits?

13 A Well, I don't believe there is anything wrong
14 with it, within the constraints of the contract. We've
15 got to meet the requirements of the contract. And, you
16 know, I was a little bit disturbed when I heard earlier
17 that on the 20-year versus 30-year that Panda might
18 breach the contract or default under the contract during
19 the last ten years. That disturbed me very much,
20 because Panda does not do that. Panda wants to live up
21 to the obligations that it has signed up for.

22 Q When you determined the size of the facility
23 did you look at it -- when you came up with the 115
24 megawatts, did you look at it in regards to economic
25 feasibility?

1 A That was done independently of me. My purpose
2 with being with the company was to look at things from a
3 technological standpoint. The information that I had
4 was passed on to the finance department, and of course
5 they are continually looking at how they can make
6 money. But in this case the finance department didn't
7 select the technology. We, in the technical department,
8 selected the technology.

9 Q So Mr. Killian can answer that question as to
10 whether not -- Mr. Lindloff can answer that question as
11 to whether or not the 115 megawatt is more economically
12 feasible than, let's, say the 75?

13 A Well, you can ask him. I don't know how
14 familiar he is with that.

15 Q When you determined the size of the plant, did
16 you attempt to build the plant or create it so that it
17 was the largest plant that could be supported by the
18 capacity payments that were generated from the standard
19 offer contract?

20 A Well, of course we are limited on the capacity
21 payments to the 74.9 megawatts of committed capacity.
22 Everything above that we don't get paid for. So, you
23 know, what we want to do is build as inexpensive a plant
24 as we possibly can to meet that -- in any event, whether
25 it's to meet our contract requirements, as cheaply as we

1 possibly can. We don't want to spend \$100 million or
2 \$200 million on a 75 megawatt plant when that's just not
3 the going rate.

4 Q But if you got a deal on a 300 megawatt plant
5 that cost -- excuse me for one second. I'm sorry.
6 Okay, so if you got a deal on the 300 megawatt plant
7 that had the same cost and basically was the same deal
8 as the 115 megawatt plant, would you find it more
9 feasible at that point to go with the 300 megawatt
10 plant?

11 A That's an interesting question. I would sure
12 question the people that had a 300 megawatt plant, of
13 what sort of quality they had. Obviously would we
14 potentially like to go with the cheapest plant we could
15 and get the biggest bang for the dollar.

16 However, having said that, we are also
17 interested in the quality of the facility.

18 COMMISSIONER GARCIA: What if it was a good
19 quality, top quality, a very good -- you got a good
20 deal?

21 WITNESS DIETZ: Well, I would certainly like
22 to consider it.

23 COMMISSIONER GARCIA: Wouldn't that violate
24 the spirit, though, that you spoke about earlier about
25 the contract?

1 WITNESS DIETZ: I think it would. We selected
2 the smallest plant that we could that met the spirit of
3 the contract, or we felt like that was the case. You
4 know, we're playing hypothetical games here.

5 COMMISSIONER GARCIA: Right. I realize that.

6 WITNESS DIETZ: And I think we might want to
7 consider that type of facility to -- for another type of
8 contract, where we could get capacity payments for --
9 larger capacity payments, certainly.

10 MS. WAGNER: Thank you, Mr. Dietz. That's all
11 that we have for you.

12 CHAIRMAN CLARK: Questions, Commissioners?

13 WITNESS DIETZ: That was a very challenging
14 question.

15 CHAIRMAN CLARK: Redirect?

16 MR. ROSS: Two questions on redirect.

17 REDIRECT EXAMINATION

18 BY MR. ROSS:

19 Q Mr. Dietz, you were asked a lot of questions
20 about this Lakeland situation. Just so it's clear, you
21 told Mr. Cheek from the beginning that it wouldn't work,
22 technically, to make that offer to Lakeland, didn't you,
23 sir?

24 A That is correct.

25 Q And you believe it would not have been

1 possible to make such a contract with Lakeland, correct?

2 A That is correct.

3 Q You were asked earlier a number of questions
4 about the original FERC application that was done before
5 you were there. Do you recall that?

6 A That's correct, and I was -- kind of stumbled
7 around it because I had not seen that application
8 previously.

9 Q The FERC application was amended, however,
10 after you were with Panda; was it not?

11 A That is correct.

12 Q And there was actually an order from FERC
13 granting your amended application for certification as a
14 qualifying facility, correct?

15 A That is correct. I didn't see that order from
16 FERC on the application that I was asked to testify
17 about earlier.

18 MR. ROSS: Let me just have it identified at
19 this point. This is an exhibit that is attached to one
20 of the rebuttal witness's testimony we haven't gotten to
21 yet, but consistent with our position here, let's go
22 ahead and identify it now, which would be No. 29.

23 BY MR. ROSS:

24 Q Can you identify this exhibit as the order the
25 order granting the amended FERC application?

1 A Yes, that is correct.

2 CHAIRMAN CLARK: Mr. Ross, do you want this
3 identified as Exhibit 29?

4 MR. ROSS: Yes, I would.

5 CHAIRMAN CLARK: Exhibit 29 is the Order
6 Granting Application for Certification as a Qualifying
7 Cogeneration Facility dated -- or excuse me, issued
8 October 20th, 1994.

9 (Exhibit No. 29 marked for identification.)

10 MR. ROSS: And I would offer that as an
11 exhibit on redirect. It is, as I said, also later
12 identified in one of the rebuttal witnesses, matter of
13 fact one of Florida Power's rebuttal witnesses.

14 CHAIRMAN CLARK: Anymore questions, Mr. Ross?

15 MR. ROSS: I believe that is it for
16 Mr. Dietz.

17 CHAIRMAN CLARK: Okay, exhibits.
18 Mr. Froeschle, do you have any exhibits you want to move
19 into the record?

20 MR. FROESCHLE: Yes, ma'am. Yes, Exhibits 25
21 through 28, I would request that they be moved into
22 evidence.

23 CHAIRMAN CLARK: Exhibits 25 through 28 will
24 be entered into the record without objection.

25 Mr. Ross, you move Exhibit 29?

1 MR. ROSS: Right.

2 CHAIRMAN CLARK: It will be entered in the
3 record without objection:

4 (Exhibit Nos. 25, 26, 27, 28 and 29 received
5 into evidence.)

6 (Witness Dietz excused.)

7 * * *

8 CHAIRMAN CLARK: We need to take stock of how
9 long we're going to be this evening. The next witness
10 is Mr. Lindloff.

11 Mr. McGee, can you estimate how much time for
12 cross-examination you have?

13 MR. FROESCHLE: If I might have one minute.

14 CHAIRMAN CLARK: Staff, how long do you have
15 for Mr. Lindloff?

16 MS. BROWN: We have no questions, at least so
17 far.

18 CHAIRMAN CLARK: Mr. Ross, what about
19 Mr. Morrison and Mr. Dolan, how much -- when they appear
20 on rebuttal, how much time do you need for
21 cross-examination?

22 MR. ROSS: On Mr. Dolan's rebuttal I would
23 estimate no more than ten, 15 minutes maximum.

24 CHAIRMAN CLARK: And Mr. Morrison?

25 MR. ROSS: Probably no more than 30 minutes.

1 CHAIRMAN CLARK: Back to you, Mr. Froeschle.
2 Can you estimate your cross-examination of
3 Mr. Lindloff?

4 MR. FROESCHLE: I would estimate between five
5 and ten minutes, probably closer to five.

6 CHAIRMAN CLARK: How about rebuttal witnesses,
7 Killian, Dietz and Shanker, total cross-examination on
8 those witnesses?

9 MS. BROWN: Chairman Clark, Staff has very
10 little.

11 CHAIRMAN CLARK: I'm going to give you 15
12 minutes for all three.

13 MR. MCGEE: Madam Chairman, on all three I
14 would estimate 15 minutes.

15 CHAIRMAN CLARK: Okay. All right.

16 MR. MCGEE: Maybe 20.

17 CHAIRMAN CLARK: We're going to adjourn --
18 we're going to reconvene in ten minutes. We'll take a
19 short break.

20 (Recess at 5:28 p.m. until 5:40 p.m.)

21 (Transcript continued in sequence in
22 Volume 3.)

23

24

25