

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
TALLAHASSEE, FLORIDA

IN RE: Resolution of petition(s) to establish
nondiscriminatory rates, terms, and conditions for
interconnection involving local exchange companies and
alternative local exchange companies pursuant to Section
364.162, F.S.

DOCKET NO. 950985-TP

**ORIGINAL
FILE COPY**

COPY

BEFORE:

CHAIRMAN SUSAN F. CLARK
COMMISSIONER J. TERRY DEASON
COMMISSIONER JULIA L. JOHNSON
COMMISSIONER DIANE K. KIESLING
COMMISSIONER JOE GARCIA

PROCEEDING:

AGENDA CONFERENCE

ITEM NUMBER:

12

DATE:

March 5, 1996

PLACE:

4075 Esplanade Way, Room 148
Tallahassee, Florida

REPORTED BY:

JANE FAUROT, RPR
Notary Public in and for the
State of Florida at Large

JANE FAUROT, RPR
P.O. BOX 10751
TALLAHASSEE, FLORIDA 32302
(904) 379-8669

0306496.TRN
70 pages

3-13-96

DOCUMENT NUMBER-DATE
03064 MAR 13 96
FPSC-RECORDS/REPORTING

STAFF RECOMMENDATIONS

- 1
- 2 Issue 1: What are the appropriate rate structures,
interconnection rates, or other compensation arrangements
3 for the exchange of local and toll traffic between the
respective ALECs and BellSouth?
- 4 Issue 2: If the Commission sets rates, terms, and
conditions for interconnection between the respective ALECs
5 and BellSouth, should BellSouth tariff the interconnection
rate(s) or other arrangements?
- 6 Issue 3: What are the appropriate technical and financial
arrangements which should govern interconnection between the
7 respective ALECs and BellSouth for the delivery of calls
originated and/or terminated from carriers not directly
8 connected to the respective ALECs' network?
- 9 Issue 4: What are the appropriate technical and financial
requirements for the exchange of intraLATA 800 traffic which
10 originates from the respective ALECs' customer and
terminates to an 800 number served by or through BellSouth?
- 11 Issue 5a: What are the appropriate technical arrangements
for the interconnection of the respective ALECs' network to
12 BellSouth's 911 provisioning network such that the
respective ALECs' customers are ensured the same level of
13 911 service as they would receive as a customer of
BellSouth?
- 14 Issue 5b: What procedures should be in place for the timely
exchange and updating of the respective ALEC's customer
information for inclusion in appropriate E911 databases?
- 15 Issue 6: What are the appropriate technical and financial
requirements for operator-handled traffic flowing between
16 the respective ALECs and BellSouth including busy line
verification and emergency interrupt services?
- 17 Issue 7: What are the appropriate arrangements for the
provision of directory assistance services and data between
18 the respective ALECs and BellSouth?
- 19 Issue 8: Under what terms and conditions should BellSouth
be required to list the respective ALECs' customers in its
white and yellow pages directories and to publish and
20 distribute these directories to the respective ALECs'
customers?
- 21 Issue 9: What are the appropriate arrangements for the
provision of billing and collection services between the
22 respective ALECs and BellSouth, including billing and
clearing credit card, collect, third party and audiotext
23 calls?
- 24 Issue 10: What arrangements are necessary to ensure the
provision of CLASS/LASS services between the respective
ALEC's and BellSouth's networks?
- 25 Issue 11: What are the appropriate arrangements for
physical interconnection between the respective ALECs and

1 BellSouth, including trunking and signalling arrangements?
2 Issue 12: To the extent not addressed in the number
3 portability docket, Docket No. 950737-TP, what are the
4 appropriate financial and operational arrangements for
5 interexchange calls terminated to a number that has been
6 "ported" to the respective ALECs?
7 Issue 13: What arrangements, if any, are necessary to
8 address other operational issues?
9 Issue 14: What arrangements, if any, are appropriate for
10 the assignment of NXX codes to the respective ALECs?
11 Issue 15: Should this docket be closed?

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN CLARK: We will reconvene the agenda and we will take up with Item Number 12.

COMMISSIONER JOHNSON: Could we go issue-by-issue?

CHAIRMAN CLARK: Yes. You need to turn your mike on.

COMMISSION STAFF: Back on Item Number 11, I might have made a connotation that BellSouth was delinquent in filing cost studies for the case. I didn't mean to say they were delinquent in filing cost studies for the case. The cost studies just came in too late for us to analyze them. I didn't want to make any sort of reference that BellSouth was stalling or something like that to intentionally preclude us from looking at them. I just wanted to make that clear.

COMMISSIONER DEASON: I think we were all operating under short time frames.

CHAIRMAN CLARK: Mr. Long or Ms. Chase -- who is taking up -- I'm sorry, Item Number 1. Item 12, Issue 1.

MR. DREW: Commissioners, Issue 1 asks what the appropriate rate structures, interconnection rates, and other compensation arrangements are for the exchange of local and toll traffic between respective ALECs and BellSouth. Staff is offering two recommendations. In

1 the primary recommendation, staff is offering the
2 arrangement that is documented in the stipulation
3 between BellSouth and other ALECs. Basically, in the
4 stipulation, BellSouth -- well, the stipulation was
5 proposed that a rate of 1.05 cents be charged, a
6 switched access rate be charged on a permanent basis,
7 and that there be a cap of 105 percent on the total
8 minutes of use of the local exchange provider with the
9 lower minutes of use in the same month.

10 In the alternative recommendation, staff is
11 recommending the mutual exchange method. The other
12 term for this method is bill and keep. Under this
13 method there is no exchange of cash, payment is made
14 with the receipt and transmittal of in-kind services.

15 COMMISSIONER JOHNSON: I have some questions on
16 this one. In the first part of staff's primary
17 recommendation, you state that ideally the rates
18 charged will be based on incremental cost and some
19 contribution based on joint and common costs. But,
20 again, given the fact that the process was shortened
21 and you got the information late, I'm assuming that
22 you, therefore, just decided to look at the settlement
23 language. One of my concerns is at least with respect
24 to the other proceeding, you all felt concerned enough
25 about those unbundled elements and how important that

1 was to competition that you kind of wanted to get the
2 numbers right. But with respect to this issue it seems
3 as if you decided to take numbers out of a
4 comprehensive settlement package that was based on who
5 knows what, but the intentions of the parties, and
6 apply that for something that we should apply on a
7 forward basis. I wanted you to kind of respond to
8 that, and also respond to whether or not you think it
9 would be helpful for us to get the numbers right with
10 respect to the rate and should it be based more closely
11 to cost.

12 MR. DREW: To the second part of your question,
13 yes, it does not hurt to get your numbers right.

14 COMMISSIONER JOHNSON: No, does it help, would it
15 help us?

16 MR. DREW: Yes, it would.

17 COMMISSIONER JOHNSON: Why wasn't that your
18 recommendation?

19 MR. DREW: Well, I'm going to give my answer and
20 one follow-up.

21 COMMISSIONER JOHNSON: You did primary and he did
22 alternative?

23 COMMISSION STAFF: That's correct.

24 COMMISSIONER JOHNSON: Well, he wants to talk
25 about primary.

1 MR. LONG: No, I just wanted to talk about the
2 supporting cost number, that's all.

3 COMMISSIONER JOHNSON: Yes, I'm kidding.

4 MR. DREW: We based the 1 cent rate, the 1.05 cent
5 rate -- well, we looked at that rate. We also looked
6 at the cost, the switched access cost information that
7 the company provided. In that rate, they are excluding
8 the RIC and the CCL, so when I looked at the cost
9 figures, I excluded the RIC and the CCL, which was easy
10 because those two elements aren't cost-based, so there
11 were no cost numbers to consider. So I just considered
12 the other elements to determine, based on what they
13 provided, what the costs were. As to why, specifically
14 as to why the 1 cent rate is used, quite frankly, the
15 stipulation is in the record, that rate was there, and
16 that's why we decided to use that one.

17 COMMISSIONER JOHNSON: I think I understand what
18 you're saying, but I just have some concerns. And I
19 know you all were limited with respect to time and
20 evidence and all of that stuff, but I have some concern
21 with us taking a switched access rate, although I
22 understand we pulled out the CCL and the RIC, but using
23 that as our interconnection rate. I mean, to the
24 extent -- and when you suggest that, boy, we wish we
25 would have had data where we could look at the

1 incremental cost and some of the contribution based on
2 joint and common costs, when you say that's the
3 preferred method, why would you not want to then, as
4 you did in the others, say let's go back. Let's see if
5 we can get this number right. Let's look at the
6 incremental cost numbers, get that. Sure, there is a
7 certain amount of contribution that we may want to put
8 on top of that, but let's use that number as the
9 starting point. What's wrong with that, and what is so
10 right about this stipulation, and what is the magic
11 behind using the .0102?

12 One other thought. With respect to me reading the
13 record, and I know there is confidential information
14 with respect to the cost numbers that were filed, but
15 there is a big difference in the number that we are
16 using from the stipulation and some of the numbers that
17 were filed. And for me it's very hard for me to see
18 how we could set a rate based upon the cost that we
19 used.

20 MR. DREW: Well, with the 1 cent rate, there was
21 no magic involved. It was either that rate or as
22 opposed to the 4-1/2 cent rate that BellSouth --

23 COMMISSIONER JOHNSON: Or why didn't you -- there
24 is another one. And we're saying in the record, but
25 just like you did in the other when the record wasn't

1 complete, and I just want to understand, because there
2 may be some rationale for this.

3 MR. DREW: Well, I guess in my mind, I thought I
4 had enough cost information, and I would argue -- and I
5 would agree that based on that cost information maybe
6 that rate could have been moved closer to cost. I
7 mean, there is room there to do that.

8 COMMISSIONER JOHNSON: Mark, did you want to add
9 something?

10 MR. LONG: No, I just -- you had mentioned earlier
11 about getting the rate right or getting the cost right.
12 I just wanted to add that there were switched cost
13 information provided in this docket that provided an
14 incremental cost for terminating local traffic that was
15 brought in as a confidential number. That number was
16 -- and we did not have time to scrutinize the veracity
17 of that number, either -- but that number is so low
18 that even if you take 25 percent out of it, the
19 incremental difference is so small it's probably not
20 worth the time you take and hearings you go through and
21 the arguments you make in doing it. So we did not feel
22 that the benefit of attacking that particular cost
23 study would be worth the cost involved in doing it.
24 And that's why we are not asking for that to be further
25 studied.

1 COMMISSIONER JOHNSON: That's an interesting point
2 then. Why didn't we -- if it's so clear and whether or
3 not it's completely accurate wouldn't matter because
4 it's so close, why didn't we use that number?

5 MR. LONG: I believe we did use that number as a
6 cost basis. The primary rate is not set at cost, but I
7 believe we did as analyzing contribution levels and
8 other kinds of things did use the cost provided by
9 BellSouth as the underlying cost.

10 COMMISSIONER JOHNSON: So what you're saying to me
11 is that you all looked at that cost number and you
12 looked at the rate that was in the settlement and
13 determined that assuming these numbers are right, the
14 cost numbers are right, the settlement number is here,
15 and that whatever contribution was in there that was
16 okay. That's what I hear you saying.

17 COMMISSION STAFF: Well, I wouldn't say that we --
18 I wouldn't say that we concluded that it was okay or
19 not okay, we just identified what that level of
20 contribution is.

21 COMMISSIONER JOHNSON: Well, didn't you have to
22 reach a conclusion in order to use the rate that you
23 used, if you knew the cost, to somehow make a
24 determination that the contribution was okay? Or what
25 if it had been way apart, would you have said, "Whoa,

1 this cost number means something, and maybe it should
2 impact what rate we allow them to charge."

3 MR. DREW: Well, the first criteria, of course, is
4 whether or not that rate covered the cost, and it does.
5 Then you have to get into the determination, and I
6 would submit, or this may differ, that that
7 determination is going to be subjective. With X level
8 of contribution, what makes that right versus Y level
9 of contribution.

10 We have seen on different services, whether they
11 are call waiting, call forwarding, other type of
12 services contribution levels ranging from 5 percent to
13 2500 percent. And in some instances where it has been
14 that high, it has been allowed because of the type of
15 service and because demand for the service hasn't been
16 adversely affected one way or the other because of the
17 contribution level. And for the other, let's say,
18 universal policy goals that we may have been trying to
19 achieve by allowing as high a contribution as possible.

20 I guess for -- I can only speak for myself, or for
21 some staffers, when you have been exposed to different
22 levels of contribution, after awhile you look at things
23 in relative terms versus, "Wow, that's astonishing,"
24 you know. But after awhile it's, "Well, we have seen
25 this level of contribution before and it has been

1 accepted."

2 But going back to your original question, no, we
3 didn't make a determination as to that level is okay
4 versus it is not okay. We just said, "Obviously
5 because of the contribution level it does cover cost."

6 COMMISSIONER JOHNSON: Okay. And with respect to
7 that kind of an analysis, let me ask you, did you
8 factor in -- and I agree with you, there are a lot of
9 services, particularly when we were in a rate of return
10 regulation, where there was a whole bunch of
11 contributions; 1,000 times, 800,000 times, you know,
12 and that didn't bother us so much because there was a
13 greater goal, and there was a package, and the way we
14 were trying to deal with things. And there was a
15 guaranteed rate of return. There were those kind of
16 issues that we had to deal with.

17 MR. DREW: Right.

18 COMMISSIONER JOHNSON: But as we enter into this
19 market that we're calling a -- we're trying to become
20 more competitive, we're trying to reduce the barriers
21 to competition, and on an issue like interconnection
22 that will be so vital and critical with respect to the
23 issue of competition and getting people into the
24 marketplace, I'm wondering if that was one of the
25 things that you factored in and you saw it as yes,

1 there is contribution here, but so what, there is a lot
2 of contribution elsewhere, too, so let's not start
3 getting rid of contribution.

4 MR. DREW: There was a concern among definitely --
5 well, among some members of staff that since we are
6 treading into quote, unquote, unchartered territory
7 with the hopeful advent of meaningful competition that
8 we should take it slow by going with a rate that we can
9 identify in the record. So based on that, yes, we
10 factored that into our decision. I understand the
11 concern, of course, as to, well, okay, we have got this
12 rate, there is this cost out there, and what is the
13 level of contribution. How significant is it, is it
14 very significant, is it something we can live with.
15 But, yes, we did factor that into our decision.

16 COMMISSIONER JOHNSON: And on staff's -- and in
17 staff's determination at least with respect to primary,
18 as you looked at the cost and you looked at the rate,
19 you determined that it was -- the level of contribution
20 was something that you could live with, and that that
21 would not serve as a barrier to competition with
22 respect to the interconnection rates?

23 MR. DREW: Yes, staff can live with it. But I
24 would also like to note that there is room because of
25 the level of contribution where that rate could be

1 moved closer to cost without adversely impacting the
2 local exchange company.

3 COMMISSIONER JOHNSON: Madam Chair, could I ask
4 one more question? And I'm going to leave that a
5 little bit, but it's somewhat related in my mind. As I
6 look at the other part of your analysis, you seem to
7 suggest, and I don't know if this was factored into the
8 rate or not, but as you looked at the issue of whether
9 or not the termination of calls would be in balance or
10 not in balance. You determined that because -- I'm
11 assuming the primary thought, that this would not be in
12 balance that you needed to impose -- we already got
13 your rates, but you needed to impose a cap. As if to
14 suggest that that cap somehow would make things --
15 would put things in balance. And I don't see how that
16 would put things in balance. It seems to just shift
17 the risk and the liability, but it doesn't necessarily
18 seem to put things in balance.

19 COMMISSION STAFF: Well, one, I agree that the
20 mechanism does not totally address the problem of
21 imbalanced traffic and does not totally address any
22 adverse impact that that may have. For example, you
23 know, with an imbalance in traffic, if you have an
24 entrant that finds itself terminating more calls to the
25 incumbent LEC than the incumbent LEC is terminating to

1 that entrant, the entrant's liability because of the
2 cap is reduced. So in that narrow aspect --

3 COMMISSIONER JOHNSON: Could you say that again,
4 I'm sorry.

5 MR. DREW: With an imbalance in traffic, with the
6 traffic not being in balance, if you have an entrant
7 and you are an ALEC and it's terminating more calls to
8 the incumbent versus the incumbent terminating more
9 calls to it, the entrant.

10 COMMISSIONER JOHNSON: Let's use some numbers.
11 Let's say the entrant had 1,000 calls.

12 MR. DREW: Yes, let's say BellSouth is
13 terminating --

14 COMMISSIONER JOHNSON: 1,000. No, the entrant.
15 You started off with the entrant. Say the entrant has
16 more, say the entrant has 1,000.

17 MR. DREW: Okay. The entrant is terminating let's
18 say 1,000 minutes to BellSouth.

19 COMMISSIONER JOHNSON: And give Bell 100. Yes,
20 and give Bell going the other way 100.

21 MR. DREW: Okay. In that instance with the cap,
22 the entrant would have to pay Bell for 100 minutes of
23 use times 105 percent, so that would be --

24 COMMISSIONER JOHNSON: \$105.

25 MR. DREW: And Bell would pay the entrant \$100.

1 COMMISSIONER JOHNSON: What happens to the 855
2 terminating calls, does someone eat that? Does the
3 person with the 1,000 calls -- does Bell eat those
4 costs?

5 MR. DREW: Yes. BellSouth, if they terminated
6 those calls, yes, they would eat that. So, versus a
7 bill and keep, where they would eat the entire 1,000
8 minutes of use, they would only eat 800-plus minutes of
9 use.

10 COMMISSIONER JOHNSON: I understand what would
11 happen on the mutual traffic exchange, but under your
12 scenario, what would happen is those costs would not be
13 recovered through rates, or at least they would be --

14 MR. DREW: Through the direct rates that you would
15 charge for interconnection.

16 COMMISSIONER JOHNSON: Or it would be priced at a
17 discount, because I guess you would say that 5 percent,
18 if you spread it over all of those costs, because -- I
19 don't know. But someone, there would be an imbalance
20 with respect to Bell, in our example, would actually
21 have to incur the cost of terminating those calls, but
22 they could only be compensated up to 105 minutes.

23 MR. DREW: Correct.

24 COMMISSIONER JOHNSON: And explain to me why that
25 is balanced or that makes us more balanced.

1 MR. DREW: Well, in that narrow frame for an ALEC
2 they would not be paying out as much if a cap did not
3 exist.

4 COMMISSIONER JOHNSON: Well, what about the person
5 who was what we just dubbed eating the cost, what about
6 Bell? And it doesn't matter either way. It could be
7 an ALEC or it could be the LEC, but what about that
8 party that doesn't get compensated for those
9 terminating -- the costs incurred from terminating
10 those calls, how are we addressing that?

11 MR. DREW: Well, one, we hope that there is
12 sufficient enough contribution in the --

13 COMMISSIONER JOHNSON: See, I knew you were tying
14 those together. Okay, go ahead.

15 MR. DREW: -- in the access rate charge to make up
16 for that, for those lost minutes.

17 COMMISSIONER JOHNSON: I thought that's what you
18 were doing. And this is just to throw out for the
19 other Commissioners, and for you all to respond to,
20 too. Why wouldn't it be more appropriate to perhaps
21 set the rate closer to cost and you don't necessarily
22 need what the alternative is suggesting, either, the
23 in-kind, because you still have the imbalance problem,
24 but just set it closer to cost and then people pay for
25 what they use. And if you terminate a call, that's

1 what you pay for based on that rate with less
2 contribution. What would be wrong with establishing
3 something like that?

4 MR. DREW: On the surface, I don't see anything
5 wrong with that. I'm not opposed to the entities
6 paying for what has been used. I'm not opposed to the
7 entities paying for what is being used as long as that
8 rate covers cost. The cap, again, was a mechanism
9 thrown in there that would hopefully address the
10 imbalance. And, again, I admit that it just narrowly
11 addresses that. Where if the ALEC is on the side where
12 it would get the most benefit then it may benefit,
13 depending on how the traffic flows. If it flows the
14 other way then they may not benefit.

15 COMMISSIONER JOHNSON: Yes. It just seems to me
16 that perhaps we should -- I understand you're
17 directionally going toward a usage-based formula, and I
18 understand the cap when you have so much contribution,
19 it's kind of like, "Whoa, we don't want to charge them
20 that much. Geez, that's really outrageous. We will
21 give them a little discount here." But if we got the
22 rate closer to cost, and I don't just mean long-run
23 incremental cost, but perhaps contribution, I believe
24 whoever's service is being used that they should be
25 compensated fully for that and not just the incremental

1 costs, joint and common costs, and perhaps some profit,
2 because actually this person is just a customer. But
3 getting those closer so we won't have to manipulate the
4 system with caps, but we can use a pure system where
5 people are being charged for what they are using. Now,
6 would that be a barrier to competition, or am I missing
7 something here, because no one recommended it.

8 MR. DREW: I would conclude that that sounds more
9 market driven, which is what I would think is the goal
10 that we are heading toward. That's the only conclusion
11 I can draw on that. And that's why I would not be
12 adversely opposed to that.

13 COMMISSIONER JOHNSON: Mark.

14 MR. LONG: If I were convinced that the traffic
15 were going to be out of balance in the short run or
16 that it was going to make that much of a difference, my
17 alternative recommendation would have been exactly
18 that. It would have been a cost-based rate somewhere
19 around a quarter of a cent a minute, and there would be
20 no cap on the number of minutes going either way, so
21 that --

22 COMMISSIONER JOHNSON: Talk a little louder.

23 MR. LONG: So that whoever terminated the most
24 minutes would get the monetary benefit from terminating
25 the most minutes. I just personally don't think that

1 we should create such a mechanism until it's proven
2 there needs to be one. And there is no proof that
3 there needs to be one so far.

4 COMMISSIONER JOHNSON: That's a good point, and as
5 I looked at your analysis something still made me feel
6 uncomfortable. But I understand where you're coming
7 from. And where you start off is that you believe the
8 traffic is going to be balanced. And the problem that
9 I have is there didn't appear to be enough evidence in
10 the record one way or the other. And to the extent
11 that they are out of balance, I don't think that this
12 in-kind mechanism would cure the problem, and then you
13 might have someone offering a service below cost for
14 some period of time. So, I understand your point, and
15 it's kind of one that I'm still balancing in my head.

16 MR. LONG: Right. And that's what I did not do in
17 the alternative is take the extra step and say I don't
18 know if it's going to be balanced or out of balance. I
19 think it's going to be relatively balanced. It seems
20 logical that it would be. And there is no sense in
21 creating a mechanism for it to be out of balance until
22 one is needed. However, if one is needed, I didn't do
23 that. If one is needed in the future, then it should
24 be based on cost, it should be .2 cents a minute, it
25 should no be cap, it should be -- I did not make that

1 recommendation. I believe that that recommendation
2 could be make if a carrier though the traffic was out
3 of balance, came in here and requested that the mutual
4 traffic exchange be abandoned for some compensation
5 mechanism, then I could make that recommendation at
6 this time, but I could have made it.

7 COMMISSIONER JOHNSON: You also put a year. You
8 said, you know, you've got to wait a year before you
9 can come in. That seemed to me a little harsh if,
10 indeed, facts were to demonstrate in eight months that
11 there was a big problem. How would we get around that?

12 MR. LONG: Well, the year was an arbitrary time
13 period that I thought would be a minimum time period
14 for someone to be able to provide patterns that had
15 some sort of pattern to them to figure out whether
16 traffic was going more in one direction than another.
17 But certainly a year is not etched in stone, nor does
18 it have to take a year. And under the statute if they
19 believe that they are providing it below their cost,
20 they can certainly come in at any time and ask the
21 Commission to make that right.

22 COMMISSIONER JOHNSON: Okay. Irregardless of if
23 that's what the order said.

24 MR. LONG: Right. But the year is not something
25 that I'm particularly wed to.

1 COMMISSIONER JOHNSON: I don't know, just as I
2 read this I felt very uncomfortable with the primary
3 and a little uncomfortable with the alternative. And
4 as I sat down this weekend it just -- to me, and I
5 would like to hear from the other Commissioners, their
6 thoughts on it, but to me a usage-based rate without a
7 cap seemed to be the most appropriate rate with respect
8 to removing barriers to competition and with respect to
9 just getting this right and making it where the market
10 is working and not the Commission setting artificial
11 barriers.

12 And I felt that with the numbers that I had seen,
13 both the confidential numbers and the rate that we got
14 out of the stipulation, that certainly -- and I
15 understand contribution, and I understand how staff
16 would be more comfortable with it, because, you know,
17 in our previous lives we dealt with that a lot, but I
18 feel that there is this push toward lessening
19 contribution, especially in areas where we have
20 determined that this is critical to opening our market
21 and getting competition rolling. Interconnection is
22 one of the most vital things that we need to try to get
23 right in my mind.

24 COMMISSIONER KIESLING: I have a couple of
25 questions. On the alternate rec, did I understand the

1 examples that you gave on Page 27 correctly, that the
2 imbalance between one LEC and another would have to be
3 at least a million calls a month to just make up the
4 administrative costs that it would take to bill each
5 other as opposed to keeping --

6 MR. LONG: I do not know what the administrative
7 costs are for setting up and keeping it. I used
8 \$10,000 a month as just trying to imagine if I were in
9 the business what would all of this be worth to me or
10 not. I mean, if there is not an exchange of \$10,000 --
11 I mean, we're talking about big companies here -- if
12 there is not an exchange back and forth of \$10,000 a
13 month, it seems to me that it might not be worth
14 setting up this mechanism. Maybe not. Maybe \$1,000 a
15 month is worth it to them, I don't know. But I just
16 used the \$10,000 a month exchange as my minimum for
17 whether this whole thing would be worth it or not.
18 There is no basis for that in the record or anything, I
19 just --

20 COMMISSIONER KIESLING: That's what I was trying
21 to understand.

22 CHAIRMAN CLARK: What do you mean whether this
23 whole thing would be worth it?

24 MR. LONG: Well, measuring the traffic, me paying
25 you a check, you giving me a check --

1 CHAIRMAN CLARK: The administrative cost of
2 actually measuring the traffic and exchanging money,
3 you think --

4 MR. LONG: And auditing each other in case, you
5 know --

6 CHAIRMAN CLARK: -- needs to be around \$10,000 to
7 make it worthwhile?

8 MR. LONG: It just seems like it to me. I don't
9 know.

10 COMMISSIONER KIESLING: And there is nothing in
11 the record from which we could even guess at what that
12 cost would be.

13 MR. LONG: No. As to what the cost would be or at
14 what the minimum exchange of money would be to make it
15 worth it.

16 CHAIRMAN CLARK: Mark, given that sort of basis,
17 do you think the notion of mutual exchange of traffic
18 that you're suggesting is only temporary, then? That
19 at some point you ought to be billing for it.

20 MR. LONG: I really kind of look at every decision
21 implementing local competition as a temporary one,
22 since it hasn't happened yet. I mean, whether they are
23 called interim or not called interim because --

24 CHAIRMAN CLARK: It seems to me we are always
25 going to have the issue of interconnection, the terms

1 and conditions and the rates.

2 MR. LONG: That is correct.

3 CHAIRMAN CLARK: Are you suggesting that mutual
4 exchange of traffic is a temporary solution and that at
5 some point you will want to set a rate?

6 MR. LONG: I am recommending that mutual exchange
7 of traffic should be the starting point that everyone
8 goes down the road on. If someone believes it is their
9 financial disadvantage to stay on that, they can come
10 in and say, "We have experience that we are terminating
11 more minutes than the other guy is, and we don't think
12 we are making up our cost by providing a service to him
13 and terminating his minutes because we are terminating
14 more than he is, we should be compensated for it."

15 CHAIRMAN CLARK: Let me ask you this. By
16 providing mutual exchange of traffic, do you incent
17 people to increase their costs?

18 MR. LONG: No, you would incent people to reduce
19 their costs.

20 CHAIRMAN CLARK: Because they could get what?

21 MR. LONG: Because the benefit you would get from
22 the other guy would increase as your cost to provide
23 him the same benefit decreased, okay. So if we are
24 exchanging -- we breed dogs, and you breed male dogs
25 and I breed female dogs.

1 CHAIRMAN CLARK: Let's use another example. Not
2 breeding.

3 MR. LONG: Okay. We'll do the trusty Walter
4 D'Haeseleer hamburger example in that we both have
5 hamburger franchises.

6 CHAIRMAN CLARK: Better.

7 MR. LONG: And we exchange something. You have a
8 hard time getting wheat buns and I have a hard time
9 getting white buns. They cost the same, but you have a
10 hard time getting yours, I have a hard time getting
11 mine. I can pay you a dime for each, and you could pay
12 me a dime for each, and we end up giving each other a
13 check for \$100 at the end of the month or we can just
14 exchange buns, okay. I didn't do that on purpose.

15 CHAIRMAN CLARK: I've got to think about that,
16 Mark.

17 MR. LONG: Anytime you want to go back to the
18 dogs, let me know. So my incentive would be to
19 decrease my costs in that exchange, therefore, the
20 benefit I'm receiving from you is greater. That's kind
21 of the whole idea behind --

22 COMMISSIONER DEASON: The concept is your
23 profitability is not based upon somebody else's costs.
24 You minimize your costs, your profits go up.

25 MR. LONG: That is correct.

1 COMMISSIONER KIESLING: And then if I can just
2 understand further on --

3 CHAIRMAN CLARK: But isn't that only true assuming
4 you're not terminating more of their traffic?

5 COMMISSIONER KIESLING: Yes, but it seems to me
6 that -- I think that's a factor, but it seems to me
7 that going with the alternate rec would end up being
8 that if somebody thinks they are not getting a fair
9 deal, then they are going to have to come in and show
10 us what their administrative costs would be so that we
11 can compare that to the differential that there is and
12 figure out what is the better thing.

13 CHAIRMAN CLARK: Well, but then that gives them
14 the incentive to show that their administrative costs
15 are more.

16 COMMISSIONER KIESLING: Yes.

17 CHAIRMAN CLARK: And if you set it at a price,
18 then they know what it is, and if they can get their
19 costs below that they get to keep it, and they don't
20 have to come in and show that, you know, in effect
21 increase their costs in order to get more money.

22 COMMISSIONER DEASON: Well, the administrative
23 costs are a cost for both parties. It's not just on
24 one party. And to the extent the administrative costs
25 can be eliminated, the service for both companies --

1 the costs to both companies is minimized, which you
2 think if we have a competitive market means the price
3 for all customers of both LECs are going to be
4 minimized.

5 MR. LONG: Hopefully, yes.

6 COMMISSIONER DEASON: But as I understand what
7 you're saying, Commissioner Kiesling, you would be more
8 comfortable with a demonstration that the flow of
9 traffic is so much out of balance for there to be
10 equity that it more than outweighs any administrative
11 costs of accurately measuring those flows and auditing
12 those results.

13 COMMISSIONER KIESLING: Yes. But I also have to
14 say I'm so uncomfortable with the number in the primary
15 recommendation that if I have to pick between primary
16 and alternate, I'm going to go with alternate, and let
17 the proof come out at some later point if the imbalance
18 is so great that we have to revisit this.

19 COMMISSIONER JOHNSON: So, doing it the way that
20 the alternative recommends, we don't have to deal with
21 the rate right now, because we are going to do this
22 in-kind kind of a situation. And that was a good point
23 that Mark raised, and I know the Witness Cornell
24 (phonetic) had raised it with respect to the mutual
25 exchange of traffic, if I remember her testimony

1 correctly, would cost both industries to be more
2 efficient. And even when you're looking at an ALEC --
3 you're looking at the dominant provider, who is going
4 to kind of price it for us, it's going to be like a
5 price cap. They aren't going to make their money
6 charging more than the dominant provider, so the only
7 way they are going to make their money is by charging
8 less and getting the costs down. So if we're using the
9 in-kind mutual exchange of traffic, perhaps that is an
10 incentive for those parties to get their costs down in
11 order to increase their profitability.

12 COMMISSIONER KIESLING: Yes, if I understand what
13 you just said, that's what I think. I mean --

14 COMMISSIONER JOHNSON: Mark, did you understand
15 that statement? Well, it doesn't matter.

16 CHAIRMAN CLARK: Other questions? Commissioner
17 Deason, did you have any questions?

18 COMMISSIONER DEASON: No.

19 CHAIRMAN CLARK: No, I have questions.
20 Commissioner Garcia.

21 COMMISSIONER GARCIA: No.

22 CHAIRMAN CLARK: Mark, I wanted to understand
23 something, your comment with respect to the
24 interconnection charge of 1.05 cents. And you had
25 indicated that -- did you think that was reasonable or

1 unreasonable?

2 MR. LONG: Well, I did make a statement to open
3 the recommendation that if traffic is out of balance
4 that might be appropriate. Really, if I were king and
5 I were setting the rate, it would be far less than 1.05
6 cents. It would be around a quarter of a cent. But I
7 would also not have a cap on the liability for the
8 minutes. So that however many minutes it is out of
9 balance, each minute is compensated at a cost-based
10 rate of somewhere around .2 to .25 cents a minute.

11 CHAIRMAN CLARK: Maybe I should back up. If you
12 could, enumerate why you think mutual exchange of
13 traffic is the right way to go. And in your answer
14 will you explain to me why you think -- how is it
15 equivalent to bill and keep when you have parties
16 actually interconnecting as opposed to where you had
17 local companies. I guess I'm trying to distinguish in
18 this case where you have an actual interconnection.
19 When you had bill and keep, when we first went to bill
20 and keep, that was among local exchange companies,
21 correct?

22 MR. LONG: Correct.

23 CHAIRMAN CLARK: And that was for they would bill
24 and keep their originating and terminating access
25 minutes and that was something paid by the long

1 distance carrier as part of the cost of doing that
2 service.

3 MR. LONG: Actually, as I remember it they would
4 bill the customer for the call and keep the revenues
5 from the call, and then pay terminating access to
6 wherever the call terminated.

7 CHAIRMAN CLARK: Right. Okay.

8 MR. LONG: That is how I believe that was set up.

9 CHAIRMAN CLARK: I guess what is concerning me is
10 where you have people interconnecting, we haven't done
11 bill and keep, have we? And so why is it appropriate
12 in this case?

13 MR. HATCH: We have done bill and keep, and there
14 is different scenarios that you may recall. The first
15 one was for access charges, and that's when we did away
16 with the old intercompany pooling arrangement in going
17 to a competitive toll environment. Companies that
18 originated and terminated toll calls in the context of
19 an IXC, they bill and keep whatever access charges --
20 for any originating access minutes, they billed and
21 kept those, for any terminating, they billed and kept
22 those. Then there were some subsidy mechanisms built
23 in that were eventually phased out to handle companies
24 going to a stand-alone access provision basis.

25 CHAIRMAN CLARK: I understand that.

1 MR. HATCH: We have also done bill and keep for
2 intraLATA toll. That's the old LEC toll bill and keep
3 proceeding that we did. And in that case if they
4 originated the long distance call, and there were no
5 IXCs involved in this, you understand, they bill the
6 originating toll revenues, if that company -- or if the
7 call terminated within that same company, they just
8 billed and kept the toll revenue. If that call
9 terminated in another LEC, they paid that LEC
10 terminating access revenue and billed and collected the
11 originating toll revenue. For an intermediate LEC that
12 was between the two that just sort of carried it from
13 one point to another point, that didn't originate or
14 terminate it, then they paid them a local transport
15 rate.

16 CHAIRMAN CLARK: Yes. And I guess my concern is I
17 didn't get the analogy to bill and keep here, because
18 it didn't seem to me there was an analogy. Given that
19 scenario where you have interconnection, you are, in
20 fact, paying whoever you are interconnecting with a
21 cost they incur.

22 MR. HATCH: But you also have to remember this is
23 not in a toll context. In the local context, companies
24 have an interconnection arrangement and they terminate
25 traffic and they do not pay any separate terminating

1 charge for exchange of local traffic. For example,
2 intercompany EAS, things of that nature. There is a
3 scenario now where you get that flat rate local EAS,
4 and there may be an additive or something like that,
5 but you don't pay a terminating charge to the other
6 company when it terminates that call. That's the
7 analogy that is being used here.

8 CHAIRMAN CLARK: There is no exchange, there is no
9 comparison of what it costs in the local exchange to
10 what it -- they just mutually exchange.

11 MR. HATCH: For local traffic, one originates it
12 and the other one terminates it and vice versa.

13 CHAIRMAN CLARK: Okay. Mark, let me get back to
14 the 1 cent. I thought I heard you say that you didn't
15 think that was way out of whack, because you didn't
16 think the contribution was extreme. Did I misinterpret
17 what you said?

18 MR. LONG: Well, sort of. I did write in the
19 recommendation that the primary recommendation may be
20 appropriate if traffic is out of balance. And I guess
21 if I can't do anything else, I would have to retract
22 that statement right now. Because if I were going to
23 make -- someone were asking me to make a recommendation
24 for a compensation mechanism based on minutes of use
25 that would be reciprocal, I would not recommend 1.0502

1 cents a minute. I would recommend around .25 cents a
2 minute, or .2 cents a minute. But I would not impose
3 any cap of 5 percent, 105 percent, or 10 or 20 percent.
4 I would say that however many minutes you terminate
5 more than the other company terminates, you get .2
6 cents a minute for each one of those minutes. That is
7 what I would recommend if I were recommending a
8 usage-based compensation mechanism.

9 CHAIRMAN CLARK: And the advantage of your
10 suggestion is that if you don't gain that much more
11 under the scenario of compensation with a cap because
12 of the administrative costs, it just doesn't make sense
13 to do that unless it's way out of balance and it's more
14 appropriate for somebody to get more money.

15 MR. LONG: I believe that if the traffic is out of
16 balance, significantly out of balance, the company
17 should be properly compensated for that. I believe the
18 compensation should be a cost-based rate. It should
19 not be a rate that is so far above cost that you can
20 put a cap at 5 percent and a difference of minutes and
21 it would still cover their costs if it were 25 or 30
22 percent out of balance, because the money they made on
23 the first 5 percent would cover far more minutes. I
24 personally don't think that's the right way of going
25 about making a compensation mechanism. I believe that

1 if the traffic is relatively in balance then no money
2 should be exchanged because that just saves everybody
3 cost. If the traffic is significantly out of balance,
4 then a rate should be implemented that is based on the
5 underlying cost for providing the service. And the
6 underlying costs we have are BellSouth's costs for
7 providing that service and the rates should be based on
8 those costs, close to those costs, but perhaps not at
9 those costs, and the rate should be exactly the same
10 for one company as it is for the other.

11 COMMISSIONER JOHNSON: And that is -- your
12 recommendation is based on your fundamental belief and
13 from the evidence in the record that it will not be out
14 of balance. So that's why you can support this
15 alternative. You're kind of assuming -- or it won't be
16 out of balance enough to support those administrative
17 costs.

18 MR. LONG: Correct. And because there is no
19 empirical evidence one way or the other, I like to
20 assume the least cost method. And right now the least
21 cost method is to exchange traffic in-kind until
22 someone has some demonstrable belief that they are
23 losing money as a result of that.

24 COMMISSIONER JOHNSON: There is some interesting
25 language in the settlement that kind of goes to that

1 issue, and, I guess, can they default out of the
2 settlement if they determine that the administrative
3 costs don't really support them doing their usage-based
4 formula?

5 MR. LONG: Yes.

6 COMMISSIONER JOHNSON: So kind of your same
7 concept just backwards.

8 MR. LONG: Yes. Except for they are starting at
9 one extreme and working back towards the middle, and
10 I'm starting in the middle and working towards an
11 extreme if it's necessary.

12 COMMISSIONER JOHNSON: Okay.

13 CHAIRMAN CLARK: It's your view that the 1.05
14 cents is out of whack with the cost?

15 MR. LONG: Yes.

16 CHAIRMAN CLARK: Okay.

17 COMMISSIONER JOHNSON: Did we have any information
18 in the record to suggest where the 1 cent compares to
19 what other states are doing and what the
20 interconnection rates are in other states, just for my
21 edification. And if it's not in the record, fine.

22 MR. LONG: I don't know that off the top of my
23 head. I do know that there was testimony that 1.05
24 cents would be the highest interconnection rate in the
25 country, if it were approved.

1 COMMISSIONER JOHNSON: Say that again.

2 MR. LONG: It would be the highest per minute
3 interconnection rate in the country if it were
4 approved. That's all I can recollect.

5 MS. CANZANO: And, Commissioner Johnson, we also
6 have taken official recognition of orders in other
7 states in which they have set rates. But offhand I
8 don't know what those rates are. But there are other
9 factors going into their determination.

10 COMMISSIONER JOHNSON: Certainly. And that's one
11 of the things we have to be cautious about with respect
12 to what else was factored into their decision.

13 MS. CANZANO: Yes.

14 CHAIRMAN CLARK: Other questions, Commissioners,
15 on this issue?

16 COMMISSIONER KIESLING: I'm willing to make a
17 motion, if there aren't any.

18 CHAIRMAN CLARK: Any further discussion?

19 COMMISSIONER JOHNSON: One more question to Mark.
20 And it's just my -- it's a balancing test, but trying
21 to determine whether or not those administrative costs
22 are worth setting this thing up on the front end, kind
23 of assuming that it's not going to not be in balance.
24 Just to talk about it. If we were to suggest that we
25 start off with it being usage-based somewhere close to

1 the cost, and if -- kind of like the language that the
2 parties put in their stipulation, if it's not worth it
3 from an administrative standpoint then they could opt
4 for the in-kind. Would that cause problems, or how do
5 you feel about that?

6 MR. LONG: Well, I think you could go either way.
7 I mean, I think you could start off with that and then
8 if it's not worth it in the end, go to in-kind
9 exchange. Or you could start off with in-kind exchange
10 and say, "If anyone believes that they are losing
11 money, this is what the rate will be." It will be
12 1.0502 cents, it will be .2 cents, whatever it will be,
13 and then they will know how much their administrative
14 cost perhaps will be in implementing this mechanism.
15 And if they are going to get .2 cents for every minute
16 and it's 55/45, they may say that's not worth going to
17 it. If it gets up to 65 or 70 percent then I will go
18 after that .2 cents a minute or that 1.0502 cents a
19 minute, but until then it's not worth it. So I think
20 you could go either way by setting a rate and opting
21 for mutual exchange or setting mutual exchange and
22 actually setting a rate if one is needed in the future.

23 COMMISSIONER JOHNSON: Yes. It's almost like if
24 we go with your analysis as it's stated, we never get
25 into the rate issue unless they come back and say

1 something is wrong. But in order for them to come back
2 and say something is wrong, and that this isn't
3 working, it seems like they might want to know what the
4 rate is going to be. That's my only concern.

5 MR. LONG: Absolutely. I mean, that would factor
6 into their decision. If the decision is made up front
7 that I get mutual traffic exchange today, but if I'm
8 terminating more minutes, I get a penny a minute. If I
9 come back in, I may come in a lot sooner than if I'm
10 only getting .2 cents a minute, certainly. I mean,
11 that would factor into my business decision as to
12 whether I come back in here and ask for the agreement
13 to be changed.

14 CHAIRMAN CLARK: Mark, do you think -- I mean, is
15 that an option we should pursue?

16 MR. LONG: I have no objection to pursuing that
17 option. If I were going to make a recommendation to
18 amend this mutual traffic exchange, I would recommend
19 that if a company wants to go to a compensation
20 mechanism, I would say that they can go to .2 cents a
21 minute at any time upon notice to us if they are
22 terminating more traffic and they think that it's worth
23 it. I mean, I don't think that's inconsistent with
24 saying that a mechanism is not needed, but if one is
25 needed we have one already. I just didn't go that far

1 in making that decision before we needed to make that
2 decision, or I thought we needed to make that decision,
3 that's all.

4 COMMISSIONER KIESLING: And that's one of my
5 concerns. You know, having reviewed the confidential
6 exhibit and the rest of the record, I don't know where
7 to set that rate. All I know is I'm not comfortable
8 with setting it at 1.05 cents a minute. I think that
9 that in comparison to cost is just too high.

10 COMMISSIONER JOHNSON: I understand that. And, in
11 fact, in the primary recommendation they state that
12 they didn't have enough time to really analyze the
13 information to come up with a rate. And they would
14 have -- if they did a cost-based rate, there were
15 certain things that they wanted to look at. I hear
16 Mark saying he feels comfortable with the information,
17 he could set it right now.

18 But I had that same concern, and I was wondering
19 if we were going to establish a rate, we thought that
20 it was very important in the other dockets to go back
21 and get a rate and get it right. But, I mean, do we
22 feel that same way here, or do we want to wait until a
23 party comes in saying, "Oh, this is out of balance,"
24 then we go and try to set a rate. Those are procedural
25 questions that kind of still bothered me, and that's

1 why I wasn't comfortable saying, okay, the rate is
2 right now, because staff seems to suggest that they
3 need more time. And even we may need time to decide,
4 well, how much contribution is enough. What do we
5 really want in there. You know, do we need to promote
6 competition, how far down do we go, what do we need to
7 keep these carrier of last resorts whole? You know,
8 there are a lot of factors to be balanced there.

9 COMMISSIONER KIESLING: And because I don't think
10 there is enough in the record to do that, that's why
11 I'm willing to move the alternate rec.

12 COMMISSIONER DEASON: Second.

13 CHAIRMAN CLARK: I guess I would feel more
14 comfortable if we did something similar to what we did
15 in the other case, and that is to come up with a rate
16 that they could opt for if they feel that it's way out
17 of balance. And I would like to see us pursuing
18 setting a rate.

19 COMMISSIONER JOHNSON: I just feel the same way.

20 CHAIRMAN CLARK: I'm comfortable with the mutual
21 exchange of traffic now, but I want to set a rate so
22 that the debate is -- you know, it is something they
23 can go to without coming to us to make sure they cover
24 their costs.

25 COMMISSIONER DEASON: Well, now, are the parties

1 free to negotiate whatever they want if they can agree
2 to it even if a decision is made?

3 CHAIRMAN CLARK: I think they can.

4 COMMISSIONER DEASON: So why do we have to tell
5 them what we would approve if they -- I mean, if they
6 negotiate it, I don't see where we are gaining
7 anything. Are you saying that we could lay down a
8 framework where one party could impose it on the other
9 party saying I'm exercising my right to terminate
10 mutual traffic exchange and impose a termination rate
11 of whatever we determine, and I think it's worth my
12 administrative costs. I'm sorry about your
13 administrative costs, but I'm imposing -- is it one-way
14 or is it two-way? And if it is two-way, why are we
15 even involved? If it's two-way, they can agree to that
16 regardless.

17 CHAIRMAN CLARK: It would be one-way.

18 COMMISSIONER GARCIA: Just following that point, I
19 think we may be losing perspective about -- and I
20 thought that's what primary did, about stepping back
21 here a little bit. And I think we are re-engaging
22 ourselves in an area that I thought we wanted to allow
23 the companies to sort of work it out. And if we do set
24 the price, why would anyone negotiate if it's better
25 than what they could get on their own.

1 MR. LONG: A couple of things. They are always
2 free to negotiate anytime they see fit, and there are a
3 lot of components to local interconnection and
4 competition that are not addressed in this docket or
5 the other docket. And so there are a lot of
6 all-encompassing kinds of things that they may be able
7 to give up some money on to get some money in others.
8 We certainly don't want to discourage that. As far as
9 the agreement goes, the parties in this docket did not
10 agree to the rate in the primary recommendation. That
11 is why they are here. They did not sign the
12 stipulation for interconnection resale. They did not
13 agree to the terms of the stipulation. That is why
14 they filed the petition. That is why they asked us to
15 set the rate. So, personally, using the rate from the
16 stipulation, depending on your philosophy may or may
17 not be a good idea. It should not be construed that
18 because people have agreed to it, it's okay, because
19 the people in this docket have not agreed to it.

20 CHAIRMAN CLARK: And I guess my concern would be
21 if we do it based on mutual exchange of traffic and
22 don't set a rate based on what we think the costs may
23 be that, in fact, if they are -- we could have set a
24 rate that does not cover their costs.

25 MR. LONG: That is possible, yes.

1 CHAIRMAN CLARK: And by setting the rate, when
2 they find it doesn't cover their costs because it's out
3 of balance, then they can move to that cost. And we
4 will have fulfilled our obligation to settle a dispute
5 between the two parties and set an interconnect rate
6 when they failed to do it. I guess, Commissioner
7 Deason, in answering your question, I see it as
8 something where the one party can opt for that
9 situation based on the fact that they haven't agreed
10 here. But I agree with you, they still have the
11 opportunity to negotiate together.

12 MR. LONG: And I don't have an answer to the is it
13 a one-party deal. I mean, theoretically, it would be a
14 one-party option. Because obviously if one party
15 thinks it is to their detriment, the other party thinks
16 it's to their benefit, so they are not going to agree
17 to come in and go to a mechanism if one company is
18 going to be losing money. So it would be one party
19 driving it. But whether they would just simply say
20 because I want to, I'm going over to this, or whether
21 there would be some burden that they actually are
22 terminating more minutes or incurring costs that they
23 would have to prove to the Commission to do, I have not
24 rendered an opinion on that.

25 COMMISSIONER JOHNSON: What did you say, and

1 refresh my recollection with respect to us -- your
2 primary as stated and as moved as compared to having
3 staff go back and come up with a rate. Now, you would
4 suggest that that would not --

5 MR. LONG: Would not be inconsistent.

6 COMMISSIONER JOHNSON: No, would it be feasible.

7 MR. LONG: I believe it could be feasible and it
8 would not be inconsistent with that. The application
9 of it could be determined in the future after you
10 review the proposals for the rate, then you can go back
11 and include additional requirements that you may elect
12 this under these circumstances, you may elect it
13 whenever you choose. We would want to see it if you
14 would elect it, you would have some burden to elect it,
15 or we like this rate and now we want to default back to
16 it. I mean, you could make any of those decisions
17 after you review the alternatives for the rates. I do
18 not believe it would be inconsistent with implementing
19 mutual traffic exchange for now.

20 CHAIRMAN CLARK: And could you, Commissioner
21 Deason, again explain to me your concerns, because I
22 just missed it. But I do want to know so I can kind of
23 gauge -- directionally we are headed in the same
24 direction, but I just want to better gauge why we might
25 not want to have staff get that cost information and

1 set a rate up front.

2 COMMISSIONER DEASON: My concern with doing that
3 is that, first of all, the parties are free to
4 negotiate and they can agree to what they want to
5 agree. If we basically give one party to the
6 negotiation a unilateral right to exercise and say,
7 "Well, I'm going to choose to terminate mutual traffic
8 exchange and I'm going to choose to apply the rate,"
9 whatever, if we choose to designate a rate today, "I
10 choose to apply that rate," to me that's not fair
11 negotiating. I mean, somebody has got essentially a
12 fallback position that concerns me.

13 It also concerns me that they would have a
14 unilateral right to exercise that without coming
15 forward with any demonstration to the Commission that
16 it is justified, that it exceeds the administrative
17 costs involved, that this is a fair and equitable thing
18 to do. I'm just not comfortable with giving one party
19 that unilateral right without some type of
20 demonstration that it is needed. That it is the
21 correct thing to do from a public interest standpoint.
22 That the overall cost to all customers regardless of
23 which LEC they subscribe to are going to be kept at a
24 minimum, and that's what my concern is.

25 COMMISSIONER JOHNSON: Okay.

1 COMMISSIONER KIESLING: And let me just throw in
2 one more thing in support of my motion, also. It seems
3 to me that if I'm going to set a number, I want to at
4 least have some sense that I've come close to the right
5 number. And that the distance between cost and 1.05
6 cents a minute is so large that I'm not comfortable
7 trying to pick something in the middle of that without
8 more information.

9 CHAIRMAN CLARK: I agree with that.

10 COMMISSIONER JOHNSON: And you would rather that
11 more information come after a party requests it as
12 opposed to us going ahead and saying, "Staff, get us
13 that more information now."

14 COMMISSIONER KIESLING: Right.

15 CHAIRMAN CLARK: Let me ask a question. Would you
16 preclude them -- would you say it has to be after a
17 year? Isn't that what staff said, you set a year date
18 to see how this --

19 MR. LONG: And, again, like the other docket, that
20 was merely because I thought that was the minimum time
21 period to determine any patterns.

22 CHAIRMAN CLARK: Would that be part of your motion
23 or would they be allowed to come in at any time?

24 COMMISSIONER KIESLING: Well, I'm comfortable with
25 a year, but I could be dissuaded, or I could be

1 persuaded to accept a friendly amendment if I could
2 understand the basis for the time period. I think
3 there has to be some time period.

4 COMMISSIONER JOHNSON: Well, what I understand,
5 Mark, and I don't know -- I guess Donna may agree --
6 that we could set the year, but if they really thought
7 it was out of balance then they could come in anyway.
8 So that doesn't bother me.

9 CHAIRMAN CLARK: Then let me be clear. What is
10 the year designed to do? They can --

11 MR. LONG: The year is merely designed to give
12 them practical experience with interconnecting and to
13 develop some traffic patterns. You come in and in one
14 month you terminated 60 percent and they terminated 40,
15 doesn't tell me nearly as much as if you had done it
16 six months in a row.

17 CHAIRMAN CLARK: Let me ask you, point to me where
18 in the recommendation you discuss that.

19 MR. LONG: I'm not sure I do. I mean, I may just
20 make the statement that requests should not be made
21 until after at least one year of practical experience
22 with local interconnection.

23 CHAIRMAN CLARK: Well, see, is it should? I mean,
24 what are we putting in the order. Do we mean that they
25 can't come in or do we mean that they can?

1 MR. LONG: I mean, you may want to say sufficient
2 practical experience.

3 COMMISSIONER CLARK: But they are still going to
4 have to prove their case. I don't see any reason to
5 put an artificial limitation on it. If they think they
6 can prove their case, let them come in when they want
7 to.

8 COMMISSIONER JOHNSON: And they can come in when
9 they want to anyway under the law, so why bother.
10 Maybe just to encourage them not to come in.

11 MR. LONG: I mean, it just seemed to me a good
12 indication to them of what I thought was a reasonable
13 time period. So that if they came in in three months
14 and we came back to sorry, it hasn't been enough time,
15 they wouldn't be surprised. That's all. I mean, like
16 I said, I'm not wed to a year. As long as it takes to
17 provide --

18 CHAIRMAN CLARK: I don't think we should put a
19 limitation on it. They are going to have to prove
20 their case.

21 COMMISSIONER KIESLING: If you propose that as a
22 friendly amendment, I will accept it.

23 CHAIRMAN CLARK: Do you still second that?

24 COMMISSIONER DEASON: Yes.

25 COMMISSIONER GARCIA: Before we vote, I would like

1 to ask -- this is the second time where I felt
2 relatively comfortable with primary and it seems to
3 have evaporated.

4 CHAIRMAN CLARK: Your comfort or --

5 COMMISSIONER GARCIA: No, the primary position,
6 which has sort of disappeared from the table. And the
7 last time I got a response it was an estimated guess,
8 now this time -- I mean, I think we are making certain
9 assumptions. I assume that most of the traffic is
10 going to go one way. I mean, you're saying we don't
11 know that, but isn't that a given?

12 MR. LONG: What, that most of the traffic is going
13 to go one way?

14 COMMISSIONER KIESLING: You know, I started from
15 that position, but when I went back and looked at the
16 record in this, there was a lot of information. For
17 example, while I wasn't totally comfortable with the
18 Manhattan information, in the Manhattan information it,
19 in fact, was the other way.

20 COMMISSIONER JOHNSON: Yes, I agree.

21 CHAIRMAN CLARK: I thought that was surprising,
22 too.

23 COMMISSIONER KIESLING: And so I became
24 uncomfortable enough with what had started out as what
25 I thought was a reasonable assumption, that I could no

1 longer embrace that assumption. And that was my
2 problem, because there was too much testimony and too
3 many discussions in here about what could happen and
4 what the factors would be that would influence --

5 CHAIRMAN CLARK: And if I recall, and, in fact,
6 the information -- some of the testimony indicated it's
7 more likely that it will be in balance.

8 COMMISSIONER JOHNSON: It's likely that it will
9 not be in balance?

10 CHAIRMAN CLARK: That it will be in balance.
11 Wasn't it Doctor Cornell that talked about that?

12 MR. LONG: She believed that for a short period of
13 time it might be imbalanced.

14 CHAIRMAN CLARK: Might be what?

15 MR. LONG: It might be out of balance, but in the
16 long run should be balanced.

17 COMMISSIONER KIESLING: And that was why I
18 originally supported the year was because I know there
19 is going to have to be a transition period in which the
20 ALECs are out signing up customers. And so it would
21 seem to me that in the first month it's going to be way
22 out of balance, and hopefully there will be a pattern
23 that shows it coming closer to the middle.

24 CHAIRMAN CLARK: Well, but I still --

25 COMMISSIONER KIESLING: I have accepted your

1 friendly amendment.

2 CHAIRMAN CLARK: Yes, you have, and we don't need
3 to debate this. Commissioner Garcia.

4 COMMISSIONER GARCIA: I just wanted to ask staff,
5 those who had prepared primary, if they have anything
6 to add to this. Because, again, I looked at it and I
7 seem to have wholeheartedly embraced primary and I
8 don't -- from my perspective now, it's almost a
9 toss-up. And so I wanted to ask staff if you wanted to
10 add anything to the discussion that has come from
11 there.

12 MR. DREW: First, my esteemed colleagues who are
13 attorneys will disagree with my quote, unquote,
14 interpretation of the statute, but it says in print
15 that the Commission should set a rate. Mutual exchange
16 traffic is not setting a rate. And that's the end of
17 my legal interpretation, I'm not a JD.

18 Two, I don't believe that the traffic is going to
19 be in balance. There was not enough evidence in the
20 record, and I agree, that would lead you to conclude
21 one way or the other. All we have is the experience in
22 the Board of Manhattan where there is imbalance in
23 traffic.

24 I believe that every individual, every corporation
25 has different calling patterns, and because of that

1 difference in calling patterns we are going to have
2 imbalance of traffic.

3 Your ALECs, as initial customers, may have travel
4 agencies or answering services and these entities
5 receive more calls than they make. Again, you know,
6 this is just speculation based on experience, but my
7 personal experience and the experience of other
8 staffers, and, again, there was not enough support in
9 the record to back this up. The bottom line is it's
10 just my common sense speculation that there is going to
11 be imbalance based on the differences of calling
12 patterns between parties.

13 COMMISSIONER GARCIA: Walter, why don't you go
14 ahead and thoroughly confuse me.

15 MR. D'HAESELEER: Well, I did not read the record
16 completely. I read part of some testimony. I didn't
17 look at the cost study. But my support for the primary
18 is a little different, and that is this. I am very
19 concerned about our piecemeal approach, and I
20 understand why we are doing it, but there are these
21 common and joint costs that are going to have to be
22 recovered somewhere. So I'm a little concerned when I
23 hear all of this discussion that every competitive
24 service has to be priced at cost.

25 COMMISSIONER JOHNSON: But no one has said that.

1 No one on this side of the bench has said that.

2 MR. D'HAESELEER: Okay. And then I've heard that
3 200 or 300 percent may be exorbitant, you know, that it
4 has to be some other number. What you need to be
5 concerned about is that there are these heavy
6 contributions in a lot of these services, whether they
7 are interconnection rates or whatever, and you have to
8 be conscious of what you're doing. And, unfortunately,
9 part of the blame I really place on me is I haven't
10 given you what you really need and that is these
11 contributions for these various services and what
12 happens when you take those contributions away. And I
13 have been thinking about it, and I need to really do
14 that for the next time we have these kind of
15 discussions so that when -- you will get a better
16 picture of what these overheads or joint costs or
17 contribution levels are. The second part about it was
18 however you want to characterize it, Teleport did do it
19 in New York. They have had some experience there. And
20 based on that experience, I thought there would be an
21 imbalance. On top of that, some people who I feel are
22 very competent negotiated a settlement and in there was
23 this number and this protection.

24 COMMISSIONER GARCIA: Stop right there.

25 Essentially that's one of the problems I have with

1 going the other way. And perhaps some of the
2 Commissioners can clarify. Here we have companies
3 going into an agreement, which is, I think, the thrust
4 and basis of this legislation to get us out of it. And
5 we seem to be slipping back, and I don't mean it in
6 anyway disparaging to staff, I think they have done a
7 magnificent job on both recommendations. But why are
8 we slipping back into where we were when we are giving
9 them almost a better deal than they could have gotten
10 at the table? And this was about bringing people to
11 the table and letting them negotiate. Either plan they
12 can still negotiate, but my point is why are we
13 stepping back into it? Why are we complicating the
14 thing when initially, I think, they have agreed to
15 something, it seems to be acceptable to --

16 COMMISSIONER DEASON: I think you have hit the
17 nail right on the head, is that we have got parties
18 that did not agree.

19 COMMISSIONER GARCIA: I understand. I understand
20 that there are parties that haven't agreed, but that
21 doesn't necessarily --

22 COMMISSIONER DEASON: We can't bind them to
23 something they weren't willing to agree with before
24 unless we think that is the appropriate position.

25 COMMISSIONER GARCIA: And why would I be bound if

1 I had always known that the Commission is going to come
2 in. Why would I not step up to the table and solve the
3 problem if I know that the PSC is going to come in and
4 do this. And my only thinking on this was these are
5 parties that have negotiated something, staff who wrote
6 primary is shaking their heads, so maybe you can tell
7 me what you're shaking your head about and then we can
8 move from there.

9 COMMISSIONER JOHNSON: Let me just say one thing.

10 COMMISSIONER GARCIA: You were saying something.
11 Excuse me. You were shaking your head for a second.
12 On this, what did you want to say so that I can --

13 MS. CANZANO: Specifically, that these parties did
14 not agree and that is why we are here. They tried to
15 negotiate, as did BellSouth, both of them worked hard
16 at trying to reach an agreement and they failed. And
17 that is why we are addressing it now.

18 COMMISSIONER JOHNSON: The same point as Donna
19 just made. As I look at the statute and what it wanted
20 to promote, and the procedure that it tried to lay out
21 was very clear, that we do allow the parties the first
22 opportunity to negotiate these agreements. And to the
23 extent that they cannot reach agreement, then it's up
24 to the Commission to, as Donna suggested, to set a
25 rate. And in this instance it's very hard for me to

1 look at a comprehensive settlement. And Southern Bell
2 had suggested this in their testimony, and just extract
3 something out and say, "Oh, okay, this number is right
4 in the abstract," when the parties negotiated a lot of
5 different things. They negotiated universal service,
6 they negotiated all sorts of other factors that might
7 have influenced them getting to that number.

8 And for that reason I felt uncomfortable just
9 saying, "Oh, some people agreed to it, these people
10 should have agreed to it, too, so we are going to apply
11 that to them." On the issue that Walter raised with
12 respect to he needs to educate us more with respect to
13 the contribution and he has a big concern about joint
14 and common costs, I don't think any of us would
15 disagree with you that that is something that needs to
16 be addressed.

17 I know some of the parties indicated that the
18 thing you should look at is long-run incremental costs,
19 but no one has suggested that that's all that we look
20 at and that we don't look at the common costs. Now, if
21 you're suggesting that the contribution is more like
22 universal service, or making sure that the carrier of
23 last resort obligations are taken care of, or putting
24 the companies in a situation where they are being
25 treated as if they were a rate of return, guaranteed

1 rate of return kind of a company, then that's something
2 else. But with respect to looking at those elements
3 and making sure everyone is being treated fairly and
4 that all of their costs are covered, not just long-run
5 incremental costs, I think that that is something we
6 are all suggesting needs to be considered.

7 MR. D'HAESELEER: All I'm doing is pointing out
8 some pitfalls. I haven't offered you a solution, but
9 you have to recognize that there are these costs that
10 are going to have to be recovered somewhere. And that,
11 you know, my problem is I can just about be as flexible
12 as anybody and I can go in any direction, and if our
13 end result is increasing local rates for residential
14 users, that's fine. If that's what we are going for
15 and setting all rates at cost, I can live with that.

16 COMMISSIONER JOHNSON: Well, that's something that
17 you just made up, no one on this side even suggested
18 that.

19 COMMISSIONER GARCIA: Walter does point out a
20 significant point, which is are we taking these things
21 into account here, and I don't think the other side is.
22 I mean, I'm not arguing that what has been said from
23 the bench is correct, and I'm not arguing that Walter
24 is sort of shooting from the hip here, to some degree,
25 in the longer view picture. And I don't mean it in a

1 negative way, Walter. I'm sort of bothered by the fact
2 that parties sit down and negotiate something. I think
3 we have cloaked it in the effect of some public
4 interest. I know that there are parties here that this
5 is being decided for parties that didn't. But why are
6 we moving away from that when --

7 CHAIRMAN CLARK: I think if I could restate what
8 you're saying, I think what staff is responding is that
9 they have failed to negotiate, that's why we have
10 stepped in. And your concern is by our decision here
11 we will influence future negotiations.

12 COMMISSIONER GARCIA: That's true. I mean, why
13 would I sit down through this complex process if I know
14 that the PSC is going to step up to the plate and give
15 me a better deal.

16 CHAIRMAN CLARK: But you can't ever assume that
17 you're going to get a better deal.

18 MR. LONG: I mean, you may get a better deal
19 today, you may not get a better deal tomorrow. I mean,
20 I think local exchange companies --

21 COMMISSIONER GARCIA: Here we are, the first
22 serious series of implications of incredible
23 proportions for this state, and in all honesty that's
24 why I like primary, because I don't think these are
25 guys making this up. I mean, obviously if you have sat

1 down and gone through this experience before and here
2 they come up with a number. It takes into account some
3 of the factors that I think Walter is very correct in
4 pointing out. And then suddenly right before we are
5 going to bat it out, here we have an alternative which
6 is very sensible if we were the PSC last year doing
7 this. And that's where my problem comes in, because we
8 are re-engaging ourselves in the process when instead
9 of looking at this as a process that is ongoing, that
10 parties can still keep working with each other and
11 making it serious and binding and either you're at the
12 table, or you let us do it. That's how I see it.

13 CHAIRMAN CLARK: I think if I'm starting to
14 understand exactly what you're saying, you're saying
15 that --

16 COMMISSIONER GARCIA: Forgive my lack of eloquence
17 on this.

18 CHAIRMAN CLARK: I'm trying to understand how you
19 think it impacts future negotiations. What you're
20 saying is that you view the mutual exchange of traffic
21 as being a better deal for people other than BellSouth,
22 and, therefore, people will -- because of this decision
23 they will not come forward and negotiate with BellSouth
24 because they will count on a better deal from us,
25 particularly because we have done mutual exchange

1 traffic. I guess what you need to factor in, it seems
2 to me, is that the agreement itself provides that if
3 they determine the administrative costs are not worth
4 it in the agreement, they can simply go to mutual
5 exchange of traffic. And what we have said is if you
6 show that it's way out of balance you can come in and
7 have a specific rate set so the equity will be achieved
8 both ways. I don't think you can say -- I mean, if
9 you, in fact, set a rate you are still going to have,
10 you know, BellSouth has to pay ACME ALEC and ACME ALEC
11 has to pay BellSouth. And you can't conclude that it's
12 not going to be the wash, in effect, that we are saying
13 with mutual exchange traffic. And, in fact, that
14 agreement recognizes that it may be a wash and it's not
15 worth pursuing --

16 COMMISSIONER GARCIA: Help me, Walter.

17 MR. D'HAESELEER: What, one against four and I'm
18 with you?

19 COMMISSIONER GARCIA: Minorities make history.

20 MR. D'HAESELEER: I think you have a valid point
21 that others are going to look at this and say, "Can I
22 cut a better deal negotiating or relying on the
23 Commission?" Now, I have to tell you because of the
24 way I think you're headed, when I see the next
25 recommendation and it has a cost element in there, I'm

1 going to be very concerned about that contribution
2 level and whether we, with our discussion here, have
3 set some kind of tone that we are very concerned about
4 cost-based rates for competitive and interconnect
5 services.

6 CHAIRMAN CLARK: That's a good thing to say.

7 COMMISSIONER DEASON: Walter, in this discussion
8 where have we talked about cost in the sense -- if the
9 motion is mutual traffic exchange, that is not a
10 cost-based concept?

11 MR. D'HAESELEER: No, I'm talking about the other
12 one, where you set a rate for the unbundling and now
13 there was a rate here, the one --

14 COMMISSIONER DEASON: And that was based upon cost
15 information. Our staff advised us that we could go as
16 low as 16. There was a number of 18. We set a rate of
17 17 to be conservative to be sure that, based upon the
18 evidence in the record, it covered cost. And I don't
19 understand what the problem is.

20 MR. D'HAESELEER: There is a problem with
21 definition of costs, and there are some that will tell
22 you that for long-run incremental cost or even
23 short-term, you don't have a contribution element in
24 there. And there are others that would argue that
25 there should. Well, I not only think that there

1 should, but there should be a substantial contribution.

2 COMMISSIONER DEASON: And a dollar over a base
3 cost of 16, that's not a substantial contribution?

4 MR. D'HAESELEER: I don't know. That's the
5 problem with these numbers. We really need to sit down
6 and play with them and see what the impact is.

7 CHAIRMAN CLARK: Walter, let me be clear. Isn't
8 that only an issue with regard to covering costs if the
9 traffic back and forth is substantially out of balance?
10 Because if I terminate 100 minutes of your traffic and
11 you terminate 100 minutes of mine, why do we bother
12 paying each other?

13 MR. D'HAESELEER: You're right.

14 MR. LONG: And also, I just wanted to -- the
15 concern about the unwillingness to negotiate is a very
16 valid one, and it's one that we are worried about, too.
17 First of all, I can't tell you who gets a better deal
18 with mutual traffic exchange. If this were implemented
19 in the Manhattan then the RBHC is getting a better deal
20 than the ALEC is getting a better deal. So it's not a
21 big, huge win for ALECs, a big, huge loss for LECs by
22 doing this, because we don't know what the traffic
23 patterns are going to be. Either side could win.

24 CHAIRMAN CLARK: It depends on their costs, too.

25 MR. LONG: Correct. And either side would win or

1 lose as a result of it, and then if they do they can
2 come in and ask for it to be changed. And I believe
3 that that's part of BellSouth's motivations in
4 negotiations. I mean, they have been a player at the
5 PSC for a long time. They have won a few, they have
6 lost a few. There is probably a minimum position that
7 they have got in negotiations that they think if they
8 go any lower they can get a better deal out of the
9 Commission. I mean, everybody factors that in, but
10 nobody can guarantee that when they come up here they
11 are going to get what they want. I can't. Nobody can.

12 COMMISSIONER DEASON: That's the way the law was
13 written. I mean, they were provided an opportunity to
14 negotiate. Some people reached fruitful negotiations,
15 some didn't. That's part of the negotiating process.
16 And by law we have to make a decision, and we can't
17 say, "Well, we are not going to make a decision because
18 we think there still are some people out there
19 negotiating and we don't want to influence their
20 negotiations." That is not a luxury that we have.

21 CHAIRMAN CLARK: Mark, I'm still trying to decide
22 if I want to exchange buns with you.

23 COMMISSIONER GARCIA: I want to go back to the
24 breeding thing. But maybe staff on primary can
25 elucidate a little bit more, or is that it from your

1 side. I just don't think that -- and forgive me for
2 being its defender, because I certainly didn't write
3 it, but I felt more comfortable when I woke up this
4 morning than I do now holding to that. Is there any
5 argument that we haven't fleshed out that you think is
6 essential with primary, or should I let them roll me
7 here four-to-one?

8 MR. DREW: Other than the 105 percent cap was
9 designed to protect both sides, I think we have
10 adequately covered all the arguments.

11 COMMISSIONER DEASON: Madam Chairman, I know this
12 is a very critical issue, but I think it's gotten ample
13 discussion. We have had a motion and a second on the
14 table at least for 15 or 20 minutes, and I would move
15 the point.

16 COMMISSIONER GARCIA: I'm sorry, I wanted to be
17 more comfortable.

18 COMMISSIONER DEASON: I'm not being critical, but
19 I'm ready to get on down.

20 CHAIRMAN CLARK: Well, it is, it's Joe's fault.

21 COMMISSIONER GARCIA: It is my fault, and in all
22 honesty I wanted to hear this because I still think
23 that --

24 CHAIRMAN CLARK: I agree with you, I think it
25 needed to be discussed.

1 COMMISSIONER GARCIA: This an essential vote,
2 Commissioner Deason. I'm sorry I'm stealing your
3 valuable time, but I do think that the issues that we
4 are discussing here are going to set the tone from now
5 on. And I think that while you view the legislation
6 one way, I would tend to disagree with you completely
7 with that statement you just made about how the
8 legislation is. I know we have a responsibility, but
9 that responsibility should not be to force the issue
10 this way. And if we can -- what we should be trying to
11 do at all lengths is to go with the business judgment
12 of parties that sit down and negotiate, and it's my
13 view that whenever that is possible we should go that
14 way.

15 COMMISSIONER DEASON: Well, are you saying we have
16 the option to say we are not going to make a decision
17 today?

18 COMMISSIONER GARCIA: No, no, I didn't say that.
19 But what I am saying, Commissioner, is that the intent
20 of the legislation was to get us out of this business.
21 It was not to put us back into the business in a
22 different way. And what I want to try to do, and what
23 I hope I've done in some small way, even by losing this
24 is to get out the feeling that this is not about us,
25 it's about them negotiating in a business environment

1 without us. And that's where we are headed. And when
2 we step back from this, when we say, "All right, this
3 is what we are going to do," and not look at or give
4 serious consideration to that which has been done by
5 real players, I mean, if this were Southern Bell
6 negotiating with itself as an ALEC in another territory
7 and coming up with some kind of mishmash of nonentities
8 here negotiating a settlement, then I would understand.
9 This would be a hoax. But that isn't the case.

10 There are real players here who have sat down and
11 made business decisions which will affect them for
12 years to come on the profit line and they thought this
13 was a good deal. More so than that, our Commission
14 approved that deal, and our staff approved that
15 negotiated settlement to some degree.

16 And so what I am saying to you is that the
17 decision we make here today -- and, again, excuse me
18 for stealing your time -- is essential in what message
19 we send out to the players. Do we want them, as the
20 legislation I believe intended, for them to negotiate
21 it out or do we want to be the final arbiters on this
22 thing? And I would tend to say that the legislation
23 wanted the former rather than the latter, which I know
24 you see in a different way.

25 COMMISSIONER DEASON: No, I totally agree with

1 what you say. The legislation wanted the parties to
2 negotiate. And I think this Commission did everything
3 within its power to send those signals that we want you
4 to negotiate and bring it to us. And, in fact, in this
5 situation that it was done, what did we do, we approved
6 it. I think that's being conducive to the negotiating
7 process. But what we have here is a situation where it
8 has failed. And I don't think that you can make the
9 leap of faith that because one or two or three or four
10 parties negotiated something then that makes it good
11 for everybody. Because there are parties who entered
12 into the negotiating process who said this is not good
13 for us, Commission, and it is a total package, and we
14 don't think you can extract one thing and say because
15 that was negotiated as part of a total package that
16 that makes that good public policy. And perhaps we are
17 in a different situation, and we think we want you to
18 determine it. That when they filed that, that's what
19 they were saying. Commission, we want you to determine
20 this for us because we can't do it.

21 COMMISSIONER GARCIA: I understand that they can
22 make that argument. I just think that by stepping in
23 as aggressively as we are doing with the alternative I
24 think that we are going to end up here for a long time
25 to come on these negotiations as opposed to looking at

1 serious -- and, forgive me, I don't want to make a
2 value judgment on what you have done. I think what you
3 have done, what the alternative is is fine. But we are
4 not allowing it to play out, and it's a tough world out
5 there, and you can always come into the cold to the
6 PSC, but I feel more comfortable that these parties
7 negotiated in good faith. And are we stepping back
8 from the judgment that we made that that negotiation
9 was good, essentially? Yes, there are parties who feel
10 differently, and that's fine. But that's why I felt I
11 was more comfortable with the primary, because I think
12 it kept it along those lines and it forced them back to
13 the table in a more aggressive way, I think.

14 CHAIRMAN CLARK: Commissioner Garcia, I'm going to
15 treat Commissioner Deason's request as a call for the
16 question.

17 MS. CANZANO: Commissioners, may I quickly respond
18 to a concern raised by primary staff. It is Legal's
19 position that the mutual traffic exchange does meet the
20 statutory requirements as discussed on Pages 29 and 30
21 of our recommendation. I just wanted to point that
22 out.

23 CHAIRMAN CLARK: That was in the recommendation,
24 as I recall. There has been a motion and a second to
25 accept staff alternative recommendation on Issue 1 with

1 the modification that they can come in at any time if
2 this is not -- if they are terminating, or there is an
3 imbalance of traffic between the two entities. All
4 those in favor say aye.

5 COMMISSIONER KIESLING: Aye.

6 COMMISSIONER DEASON: Aye.

7 COMMISSIONER JOHNSON: Aye.

8 CHAIRMAN CLARK: Aye. Opposed, nay.

9 COMMISSIONER GARCIA: Nay.

10 CHAIRMAN CLARK: Issue 1 alternative passes on a
11 four-to-one vote. Issue Number 2.

12 COMMISSIONER KIESLING: I move it.

13 CHAIRMAN CLARK: Any discussion? Without
14 objection, Issue Number 2 is approved. Issue Number 3.

15 COMMISSIONER DEASON: Move staff.

16 CHAIRMAN CLARK: Let me ask this. Does anyone
17 have any questions on the remaining issues, which I
18 think includes Issue 15?

19 COMMISSIONER KIESLING: I move staff on wherever
20 we are through 15.

21 COMMISSIONER DEASON: Second.

22 CHAIRMAN CLARK: Without objection, Issues 3
23 through 15 are approved.

24 * * * * *

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA)
COUNTY OF LEON)

I, JANE FAUROT, Court Reporter, do hereby certify that the foregoing proceedings was transcribed from cassette tape, and the foregoing pages numbered 1 through 69 are a true and correct record of the proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, or financially interested in the foregoing action.

DATED THIS 12th day of March, 1996.

Jane Faurot

JANE FAUROT, RPR
P.O. Box 10751
Tallahassee, Florida 32302
(904) 379-8669