


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of : DOCKET NO. 951056-WS
 :
 Application for rate :
 increase in Flagler :
 County by Palm Coast :
 Utility Corporation. :



FIRST DAY - AFTERNOON SESSION

VOLUME 2

Pages 141 through 311

PROCEEDINGS: HEARING

BEFORE: COMMISSIONER J. TERRY DEASON
 COMMISSIONER JULIA L. JOHNSON
 COMMISSIONER DIANE K. KIESLING

DATE: Monday, July 1, 1996

TIME: Commenced at 10:00 a.m.

PLACE: The Knights of Columbus Building
 51 Old Kings Road
 Palm Coast, Florida

REPORTED BY: JOY KELLY, CSR, RPR
 Chief, Bureau of Reporting
 ROWENA NASH HACKNEY
 Official Commission Reporters

APPEARANCES:
 (As heretofore noted.)

DOCUMENT NUMBER-DATE

07398 JUL 16 96

FPSC-RECORDS/REPORTING

WITNESSES - VOLUME 2

1	2		3
	NAME		PAGE NO.
3	CARL SUGAR		
4	Direct Statement		144
5	FRANK SEIDMAN		
6	Direct Examination By Mr. Gatlin		157
7	Prefiled Direct Testimony Inserted		162
8	Cross Examination By Mr. Sirkin		188
9	Cross Examination By Mr. Reilly		192
10	Cross Examination By Mr. Melson		214
11	Cross Examination By Ms. Reyes		217
12	Redirect Examination By Mr. Gatlin		228
13	JOHN F. GUASTELLA		
14	Direct Examination By Mr. Gatlin		231
15	Prefiled Direct Testimony Inserted		233
16	Cross Examination By Mr. Sirkin		244
17	Cross Examination By Mr. Reilly		270
18	Cross Examination By Mr. Melson		294

EXHIBITS - VOLUME 2

14	15		16	17
	NUMBER		ID.	ADMTD.
16	1	Preliminary Design Report January 1994	153	155
17	2	Abbreviated Reuse Feasibility Study Dames & Moore	153	155
18	3	Updated Abbreviated Reuse Feasibility Report May 1995	154	155
19	4	Letter of Thomas Trace dated February 16, 1995	154	155
20	5	Letter to Jeff Martin dated February 1, 1994	154	155

1	EXHIBITS VOLUME 2 CONTINUED		
2	6	Palm Coast Utility Limited Wet Weather Discharge Engineering Report	155 156
3			
4			
5	7	FS-1 through FS-5	160 230
6	8	(Seidman) Response to PC Document Request 62	193 230
7			
8	9	(Late-Filed) (Seidman) Executed agreement between Palm Coast and BellSouth Mobility	205
9			
10	10	Response to Interrogatory 7 47	205 230
11	11	(Seidman) Utility's answer to Staff Interrogatory 50 and 51	218 230
12			
13	12	(Seidman) Letter to Al Washington	220 230
14	13	(Seidman) ITT Industries Form 10-Q	226 230
15			
16	14	(Seidman) Calculation of parent debt adjustment	227
17	15	(Guastella) Used and useful analysis and effluent rate study cost allocation	232
18			
19			
20			
21			
22			
23			
24			
25			

P R O C E E D I N G S

(Transcript follows in sequence from
Volume 1.)

COMMISSIONER DEASON: Ladies and gentlemen,
if I could have your attention please. We'll go ahead
and call the afternoon session to order.

Mr. Reilly, I understand that there's one
individual from the public who signed up to testify
and was temporarily out of the hearing room when his
name was called, or her name -- I don't know which it
is. Anyway, that individual wishes to make a brief
statement at this time. If you'll call that person.

MR. REILLY: Carl Sugar.

- - - - -

CARL SUGAR

was called as a witness on behalf of the Citizens of
the State of Florida and, having been duly sworn,
testified as follows:

DIRECT STATEMENT

WITNESS SUGAR: Good afternoon.

COMMISSIONER DEASON: Sir, if you could give
us your name and address, please, for the record.

WITNESS SUGAR: My name is Carl Sugar. I
live at 45 Fortune Lane in Palm Coast. We have been
residents here five years. We come from California.

1 I'll give you a little credential,
2 background. So you'll know where I'm coming from.
3 I'm a registered engineer in California, professional
4 engineer; law degrees. I have a diploma from
5 University College, Oxford in political economics. I
6 think I'm qualified to talk to you.

7 For the last 40 years in California I've
8 represented large corporations in many aspects of
9 their businesses; mainly as a consultant.

10 This program -- I'm unable to tell you about
11 the relationship of ITT with Minnesota Utility, but it
12 sounds very similar to a case that I handled in
13 California that is almost identical, in my opinion,
14 and I'm going to tell you about it.

15 I represented a major insurance company who
16 was going to purchase a smaller automobile insurance
17 company. They had an option, there was a two-tier
18 operation. One tier as is; the second tier was if
19 they were able to get from the insurance
20 commissioner an increase in their substandard rates.
21 The difference was about 15% of the purchase value.

22 And I have a feeling that that's the same
23 situation here. ITT giving this option on a two-tier
24 basis. If they get the increase from you, the price
25 will be astronomically higher; if they don't get the

1 increase, it will be a smaller amount of purchase.

2 Now, ITT is seeking money to increase their
3 gambling operations. They have just announced, I'm
4 sure you've read in the paper, Wall Street Journal had
5 it, they are going to build a billion dollar resort
6 casino in Las Vegas and a billion dollar resort casino
7 in Atlantic City. They are using these resources from
8 selling off many of their other assets besides what
9 they have here to increase their -- probably the
10 cost -- the funds for building these operations.

11 I think that they want to sell, and
12 Minnesota will buy, also on the basis of an increased
13 amount of earnings protected by the laws of the state
14 of Florida. Now, this is a situation that occurred in
15 California. Once they increased the price of that
16 insurance, the protection was there. There was nobody
17 who could decrease it. It would be very difficult to
18 decrease it. That's my opinion. That once they are
19 granted this amount, the second tier purchase price
20 will take effect. Minnesota will be protected by you
21 and by the state of Florida in this increased amount
22 of money that they are going to take out of this
23 operation.

24 I think that these facts must be looked
25 into. I've tried every way to find out something

1 about this sales contract agreement that is going on.
2 I talked to the Chairman of our Board of Commissioners
3 and he could not get any information, so I assumed
4 that this was in -- within their own province of
5 keeping it to themselves. But I think it's something
6 that should be inquired into. And I thank you very
7 much for your attention.

8 **COMMISSIONER DEASON:** Thank you. Any
9 questions?

10 **MR. REILLY:** No questions. (Applause)

11 **COMMISSIONER DEASON:** I believe first order
12 of business is to take up Staff's request for orders
13 to be officially recognized. Has that been
14 distributed to all parties?

15 **MR. EDMONDS:** Yes, it has. I don't think my
16 microphone is on here.

17 The list has been distributed to all parties
18 and we have copies of those orders available for
19 anybody that may need them.

20 **COMMISSIONER DEASON:** As is customary
21 practice, the Commission will take official
22 recognition of its own orders. All of these are
23 Florida Public Service Commission orders?

24 **MR. EDMONDS:** That's correct.

25 **COMMISSIONER DEASON:** Very well. I've also

1 been asked to raise a question at this point.

2 This hearing has been scheduled for two
3 days, today and tomorrow. It is already obvious that
4 we are behind schedule. We've not even begun the
5 technical phase of the hearing and we have another
6 customer meeting this evening. The question has been
7 raised as to whether we can continue this hearing, if
8 need be, on Wednesday here at this location. Then
9 there's also -- when we would continue it, if that is
10 not available, I'm not really sure. I guess that
11 would have to be worked through the Chairman's office.
12 The problem is due to prior commitments, and since
13 this hearing was to the officially scheduled for
14 Wednesday, there are two Commissioners who will not be
15 available due to those prior commitments.

16 So I guess I'm raising the question at this
17 point to the parties on notice that if you were
18 planning on Wednesday, that may be in question. And
19 if we are to go on Wednesday here, the only way that
20 could be done is if all parties agreed to have one
21 Commissioner sit to conduct that hearing and have the
22 other two Commissioners, who are not available, to
23 review the record and read the transcript. And the
24 court reporters are curious as to what may take place
25 for their planning at this stage.

1 So I'm asking the question and whatever
2 feedback I can get from the parties at this point may
3 be helpful for our future planning. And I'll begin
4 with you, Mr. Gatlin, do you have any thoughts on this
5 matter?

6 **MR. GATLIN:** I'm inclined to think it's
7 something that can be done. I would certainly like to
8 consult with my client before I give you the answer.

9 **COMMISSIONER DEASON:** Very well. County
10 representatives.

11 **MR. HADEED:** Mr. Chairman, I think we would
12 prefer to be heard before the full Commission, and
13 would be willing to have the hearing adjourned if
14 necessary, you know, to be continued on a date when
15 all Commissioners could be present.

16 **COMMISSIONER DEASON:** I take it then there
17 would be an objection that you would raise; is that
18 correct?

19 **MR. HADEED:** I don't want to frame it in
20 terms of an objection.

21 **COMMISSIONER DEASON:** It is your strong
22 preference.

23 **MR. HADEED:** Yes.

24 **COMMISSIONER KIESLING:** May I just inquire
25 for clarification, are we talking about continuing it

1 in Tallahassee or back down here?

2 **COMMISSIONER DEASON:** It would be my
3 understanding it would be continued in Tallahassee.
4 So you're talking travel to Tallahassee.

5 **MR. HADEED:** We understand that. But I
6 think for the proper presentation of the case, if
7 you're going to be hearing live testimony, you can
8 learn much from it versus reading a stale transcript.

9 **COMMISSIONER DEASON:** I understand.
10 Mr. Reilly, do you have any thoughts on the matter.

11 **MR. REILLY:** My sentiments would parallel
12 Mr. Hadeed's.

13 **COMMISSIONER DEASON:** Mr. Melson.

14 **MR. MELSON:** We're amenable to whatever
15 suits the Commission. We can do it either on
16 Wednesday here in front of one Commissioner or at an
17 adjourned time.

18 **COMMISSIONER DEASON:** Very well.

19 **MR. GATLIN:** Mr. Chairman, is there a date
20 being reserved for Tallahassee if it comes to that?

21 **COMMISSIONER DEASON:** I'll have to refer
22 that question to Staff.

23 **MR. EDMONDS:** The last information I had was
24 that we were looking at the 9th. But I believe one of
25 the Commissioners was not going to be available on the

1 9th.

2 **COMMISSIONER KIESLING:** I'm on vacation

3 then.

4 **MR. EDMONDS:** And the next date that I had
5 heard would be available would have been the 17th but
6 we do not have that reserved as of yet.

7 **COMMISSIONER DEASON:** That would have to be
8 done through the Chairman's office, that other day.
9 And, of course, continuing it would then throw the
10 other schedule off as far as briefing and having final
11 transcripts and that sort of thing.

12 It's very possible we can conclude the
13 hearing in two days, but it's going to mean we're
14 going to have to move very rapidly through the
15 remainder of the time that we have available. Of
16 course, we have the customer hearing this evening. I
17 assume that tomorrow evening that this building would
18 be available for us to work late. Perhaps Staff can
19 check on that and give us some more information and
20 see if that is a possibility for tomorrow evening.

21 **MR. EDMONDS:** It's my understanding that it
22 is available for tomorrow evening.

23 **COMMISSIONER DEASON:** Well, that's a
24 possibility. I guess we can try to determine where we
25 stand at that point, and if we think we can conclude

1 the hearing by working late, well then perhaps that's
2 a possibility.

3 I wanted to raise the question and let the
4 parties be thinking about it, put you on notice. It's
5 a difficult situation. We'll just try to do what we
6 can within the constraints we have to operate in.

7 And I think at this point I need to ask all
8 of the technical witnesses who are here in the
9 building at this time to please stand and to raise
10 your right hand.

11 (Witnesses sworn collectively.)

12 **COMMISSIONER DEASON:** If you call a
13 technical witness that was not here at the time that I
14 swore witnesses in, please so state it so I can swear
15 the witness in before he or she testifies.

16 **MR. MELSON:** Chairman Deason, I have one or
17 two preliminary matters.

18 Dunes also had a list of orders for official
19 recognition. That's been distributed. I believe it's
20 on top of that big stack up at the edge of the desk.

21 We also -- and I'd move that the Commission
22 take official recognition of those orders. Again,
23 they are all orders of the Public Service Commission.

24 **COMMISSIONER DEASON:** As is our practice, we
25 will take recognition of our own orders.

1 **MR. MELSON:** Chairman Deason, we, at the
2 prehearing conference, had identified a number of the
3 stipulated exhibits that are documents of Palm Coast
4 Utility Corporation, mostly submitted in support
5 of various permit applications. They are in that
6 stack with a rubber band around them. We will have
7 questions of a couple of Palm Coast witnesses about
8 those and it would be helpful if we could identify
9 those at the outset. There are five documents, and,
10 frankly, I'd like to ask that they be given five
11 separate numbers. That will vastly assist in the
12 briefing process.

13 **COMMISSIONER DEASON:** Let's proceed through
14 those exhibits then, Mr. Melson, if you could identify
15 the first exhibit.

16 **MR. MELSON:** The first exhibit is
17 Preliminary Design Report, dated January 1994.

18 **COMMISSIONER DEASON:** That will be
19 identified as Exhibit No. 1.

20 (Exhibit No. 1 marked for identification.)

21 **MR. MELSON:** The second document is
22 Abbreviated Reuse Feasibility Study, Dames and Moore,
23 January 1994.

24 **COMMISSIONER DEASON:** Exhibit 2.

25 (Exhibit No. 2 marked for identification.)

1 **MR. GATLIN:** Just a moment, Chairman. Okay.

2 **MR. MELSON:** The third one is Updated
3 Abbreviated Reuse Feasibility Report dated May 1995.

4 **COMMISSIONER DEASON:** Exhibit 3.

5 (Exhibit No. 3 marked for identification.)

6 **MR. MELSON:** The fourth one is a composite
7 of DEP permits, letter to Thomas Trace dated February
8 16, 1995.

9 **COMMISSIONER DEASON:** Exhibit 4.

10 (Exhibit No. 4 marked for identification.)

11 **MR. MELSON:** And the final one is the
12 transmittal letter accompanying Palm Coast's
13 application DEP, a letter to Mr. Jeff Martin dated
14 February 1, 1994.

15 **COMMISSIONER DEASON:** Exhibit 5.

16 Mr. Melson, I understand that it has been
17 stipulated by all parties that these exhibits can be
18 entered into the record.

19 (Exhibit No. 5 marked for identification.)

20 **MR. MELSON:** Yes, sir, that's my
21 understanding.

22 **COMMISSIONER DEASON:** Is there any objection
23 to 1 through 5 being admitted at this point?

24 **MR. GATLIN:** No objection.

25 **MR. HADEED:** No objection.

1 **MR. REILLY:** No objection.

2 **COMMISSIONER DEASON:** The County has no
3 objection to these exhibits.

4 **MR. HADEED:** None.

5 **COMMISSIONER DEASON:** Very well. Show
6 exhibits 1 through 5 as have been described by
7 Mr. Melson are admitted into the record.

8 (Exhibit Nos. 1 through 5 received in
9 evidence.)

10 **COMMISSIONER DEASON:** Any other preliminary
11 matters?

12 **MR. GATLIN:** Yes, Mr. Chairman. There was
13 an additional exhibit that Mr. Melson and I stipulated
14 to that pertains to the Dunes question. It's entitled
15 Palm Coast Utilities, Limited Wet Discharge
16 Engineering Report, May 1, 1996, prepared for Palm
17 Coast Utility. I passed that out to the Commissioners
18 and the parties. I'd like to have that placed into
19 the record also. That would be Exhibit 6 I believe.

20 **COMMISSIONER DEASON:** Yes. That will be
21 identified as Exhibit No. 6. Have all of the parties
22 had an opportunity to review this document?

23 Mr. Reilly.

24 (Exhibit No. 6 marked for identification.)

25 **MR. REILLY:** I have not. Our engineer just

1 received a copy of it and he has been looking at it
2 today.

3 **COMMISSIONER DEASON:** Let me ask, is there
4 any objection to this exhibit?

5 **MR. REILLY:** I've gone to seek his
6 attendance here in just one minute.

7 **MR. GATLIN:** The stipulation as I understood
8 it related to Mr. Melson and I, and pertains to the
9 Dunes question, is what it pertains to, the same as
10 his five exhibits.

11 **COMMISSIONER DEASON:** I understand. I'm
12 still going to give the other parties an opportunity
13 to at least review it, and if they do have a objection
14 then they can state it.

15 **MR. REILLY:** We do not have a objection.

16 **COMMISSIONER DEASON:** Does the County have a
17 objection to Exhibit 6?

18 **MR. HADEED:** None.

19 **COMMISSIONER DEASON:** Staff.

20 **MR. EDMONDS:** No.

21 **COMMISSIONER DEASON:** Very well, then. Show
22 that Exhibit 6 is likewise admitted into the record.

23 (Exhibit No. 6 received in evidence.)

24 **MR. GATLIN:** Mr. Chairman, pursuant to the
25 prehearing conference we filed on behalf of Palm Coast

1 Utility Corporation, a list of the orders we wish the
2 Commission to administratively notice. We filed 15
3 with the Commission, and I've served copies on the
4 parties. I didn't have extra copies today but I'm
5 certain filed it with the Commission earlier, on the
6 21st.

7 **COMMISSIONER DEASON:** Do all parties have
8 that list of orders? Any objection to the Commission
9 officially recognizing that list and the orders
10 thereon?

11 **MR. EDMONDS:** No objection.

12 **MR. REILLY:** No objection.

13 **MR. MELSON:** No objection.

14 **COMMISSIONER DEASON:** Very well. Any other
15 preliminary matters by any other parties?

16 Mr. Gatlin, I believe you can call your
17 first witness.

18 **MR. GATLIN:** Call Mr. Seidman.

19

- - - - -

20

FRANK SEIDMAN

21 was called as a witness on behalf of Palm Coast
22 Utility Corporation and, having been duly sworn,
23 testified as follows:

24

DIRECT EXAMINATION

25

BY MR. GATLIN:

1 Q Mr. Seidman, will you state your name and
2 address?

3 A My name is Frank Seidman. My address, my
4 business address is P. O. Box 13427, Tallahassee,
5 Florida.

6 Q Have you been sworn?

7 A Yes, I have.

8 Q Did you prepare testimony for presentation
9 in this proceeding?

10 A Yes, I have.

11 Q The one that's been served on the parties?

12 A Yes.

13 Q Do you have some changes you wish to make to
14 that testimony?

15 A Yes. I had a couple of changes and I
16 believe a sheet has been distributed showing those
17 changes. These are changes to my direct testimony.
18 Would you like me to read them?

19 Q Yes, please do.

20 A On Page 5 of my testimony, at Line 18.

21 Q Page 3?

22 A I'm sorry, Page 3. The correction has the
23 wrong page. Correction to the correction sheet.

24 Page 3, Line 18, in exhibit FS-5 is
25 identified as "Application to Change Service

1 Availability Charges" and should read "Response to
2 Deficiency Letter."

3 Q And then there are some --

4 A On Page 25, all of the testimony to Page 25,
5 that's Lines 1 through 25, Lines 1 through 4 on
6 Page 26 are being deleted from my testimony because
7 this was an issue that at the prehearing conference
8 was dropped from the case.

9 Q Are there any other corrections or changes?

10 A No, sir.

11 Q If I were to ask you the questions set forth
12 in that document, would your answers be the same
13 today?

14 A Yes, they would.

15 MR. GATLIN: Mr. Chairman, we ask this be
16 inserted into the record as though read.

17 COMMISSIONER DEASON: Without objection it
18 will be so inserted.

19 Q (By Mr. Gatlin) Mr. Seidman, in your
20 testimony do you refer to some exhibits?

21 A Yes, I do.

22 Q Are they FS-1, FS-2, FS-3, FS-4, and FS-5?

23 A Yes, sir.

24 Q Would you read the title of those exhibits
25 and the number presently assigned to them?

1 **A** FS-1 is Volume 1, Financial Rate and
2 Engineering Minimum Filing Requirements. FS-2 is
3 Volume 2, Billing Analysis Schedule E-14 Minimum
4 Filing Requirements. FS-3 is Volume 3, Additional
5 Engineering Information, the latest offering statement
6 and parent and related-party charges. FS-4 is the
7 Analysis of Operating Departments Used and Useful.
8 FS-5 is the Response to Deficiency Letter.

9 **Q** Response to the Deficiency Letter referring
10 to the letter sent by the Commission to the Utility at
11 the time of the filing of the application asking for
12 additional information?

13 **A** That's correct. It's an integral part of
14 the MFR.

15 **MR. GATLIN:** May we have that identified as
16 one exhibit as far as I'm concerned, Mr. Chairman.

17 **COMMISSIONER DEASON:** Very well. FS-1
18 through FS-5 will be identified as Composite Exhibit
19 No. 7.

20 (Composite Exhibit No. 7 marked for
21 identification.)

22 **COMMISSIONER KIESLING:** May I just get a
23 clarification?

24 **MR. GATLIN:** Sure.

25 **COMMISSIONER KIESLING:** FS-5 that is

1 attached to his testimony is a different exhibit than
2 the FS-5 that he just listed; is that correct?

3 **MR. GATLIN:** FS-5 that was attached was the
4 Service Availability, and that's been deleted. So
5 we've moved one into that place, which was the
6 Deficiency Letter; is that correct, Mr. Seidman.

7 **WITNESS SEIDMAN:** That's correct.

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 TESTIMONY OF FRANK SEIDMAN
2 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
3 REGARDING THE APPLICATION FOR INCREASED RATES FOR
4 PALM COAST UTILITY CORPORATION
5 IN FLAGLER COUNTY
6 DOCKET NO. 951056-WS

- 7
- 8 **Q. Please state your name, profession and address.**
- 9 A. My name is Frank Seidman. I am President of
10 Management and Regulatory Consultants, Inc.,
11 consultants in the utility regulatory field. My
12 mailing address is P.O. Box 13427, Tallahassee, FL
13 32317-3427.
- 14
- 15 **Q. What is the nature of your engagement with the**
16 **Applicant, Palm Coast Utility Corporation (PCUC)?**
- 17 A. I was engaged by PCUC to work with the staff of
18 PCUC to prepare the financial and rate schedules of
19 the Minimum Filing Requirements, to prepare an
20 analysis of the operating departments for used and
21 useful, and to assist with any facets of the rate
22 case, as may be required, and to present testimony
23 in support of the application.
- 24
- 25
- 26

1 Q. State briefly your educational background and
2 experience.

3 A. I am a graduate of the University of Miami. I hold
4 the degree of Bachelor of Science in Electrical
5 Engineering. I have also completed several
6 graduate level courses in economics, including
7 public utility economics. I am a Professional
8 Engineer, registered to practice in the state of
9 Florida. I have over 30 years experience in
10 utility regulation, management and consulting.
11 This experience includes nine years as a staff
12 member of the Florida Public Service Commission,
13 two years as a planning engineer for a Florida
14 telephone company, four years as Manager of Rates
15 and Research for a water and sewer holding company
16 with operations in six states, and three years as
17 Director of Technical Affairs for a national
18 association of industrial users of electricity. I
19 have either supervised or prepared rate cases,
20 rates studies, certificate applications and
21 original cost studies or testified as an expert
22 witness with regard to water and wastewater
23 utilities in Florida, California, Indiana,
24 Michigan, Missouri, North Carolina and Ohio.

25

1 Q. Would you please identify the exhibits you prepared
2 and are sponsoring in support of this rate
3 application?

4 A. With the assistance of the PCUC staff and its
5 consulting engineer, I prepared or supervised the
6 preparation of the minimum filing requirements of
7 the application. This consists of the following:

8 Exhibit 7 (FS-1), Volume I, Financial, Rate
9 and Engineering Minimum Filing Requirements

10 Exhibit 7 (FS-2), Volume II, Billing
11 Analysis Schedule E-14 Minimum Filing Requirements

12 Exhibit 7 (FS-3), Volume III, Additional
13 Engineering Information, the latest Developer
14 Offering Statement and Parent and Related Party
15 Charges.

16 I also prepared Exhibit 7 (FS-4), Analysis of
17 Operating Departments Used & Useful and Exhibit
18 7 (FS-5) ~~Application to Change Service~~
19 ~~Availability Charges.~~ *Response to Deficiency Letter*
20

21 Q. What is the source of the historical data utilized
22 in preparing this filing?

23 A. The source is the books and records of the utility,
24 kept in the normal course of business, and in
25 accordance with the Uniform System of Accounts as

1 prescribed by this Commission. In preparing this
2 filing, I reviewed this information and had
3 numerous discussions with utility personnel with
4 regard thereto.

5

6 **Q. Please summarize the major conclusions of this**
7 **filing.**

8 **A. PCUC is seeking an increase in its water and**
9 **wastewater rates and charges. It is seeking**
10 **approval of a new customer class for the sale of**
11 **effluent reuse and for the elimination of the**
12 **public fire hydrant charge. And it is requesting**
13 **approval of an increase in its Service Availability**
14 **Charges.**

15

16 The request is based on the adjusted operating
17 information for the partially projected test year
18 ending December 31, 1995. The data for the first
19 six months is actual. The data for the last six
20 months is projected. The basis for the rate
21 increase is a year end rate base, adjusted for
22 known changes.

23

24 As shown in (Exhibit 7 (FS-1), the year end rate
25 base for the adjusted test year ending December 31,

1 1995 is \$ 21,328,433 for the water system and \$
2 16,031,209 for the wastewater system. (Exhibit
3 7 (FS-1), Schedules A-1 and A-2).
4

5 The adjusted operating income for the test year,
6 without the requested increase, is \$ 563,072 for
7 the water system and \$567,210 for the wastewater
8 system (Exhibit 7 (FS-1), Schedules B-1 and B-
9 2).
10

11 The adjusted operating income produces only a 2.64%
12 rate of return on the water rate base and a 3.54%
13 rate of return on the wastewater rate base.
14 (Exhibit 7 (FS-1), Schedules B-1 and B-2). A
15 fair rate of return on Applicant's rate base is
16 8.84%. (Exhibit 7 (FS-1), Schedule D-1).
17

18 This application indicates that an increase in test
19 year annual water revenues of \$ 1,479,626 and
20 wastewater revenues of \$1,575,817 is required to
21 produce a fair rate of return. (Exhibit 7 (FS-
22 1), Schedules B-1 and B-2).
23
24
25

1 **THE TEST PERIOD**

2 **Q. I would now like you to take us through the major**
3 **components of the rate case. First, what is the**
4 **test period for this rate application?**

5 **A. This application is based on a partially projected**
6 **test year ending December 31, 1995, with**
7 **appropriate adjustments. This period was chosen**
8 **because it is the period in which substantial plant**
9 **additions necessary to serve current and near term**
10 **customers were completed and placed in service. It**
11 **is also the period which most accurately reflects**
12 **the ongoing costs of providing service.**

13

14 **Q. What is the basis for projecting the last six**
15 **months of the test year?**

16 **A. The projections in this filing were not done**
17 **specifically for this case. PCUC prepares budgets**
18 **and projections annually, each fall, for the coming**
19 **year. Each month, as PCUC updates its general**
20 **ledger, it tracks the actual "to date" amounts**
21 **against the budgeted projections. The projections**
22 **used in this case are the amounts budgeted for**
23 **1995, adjusted for known changes.**

24

1 Q. Why has the company elected to use a year end rate
2 base rather than an average rate base?

3 A. As I have stated, substantial plant additions were
4 completed during 1995. Most of them were not booked
5 until at least the middle of the year. Almost \$7
6 million in additions were made during 1995, yet
7 there is a \$4.8 million dollar difference between
8 the average and year end balances of total water
9 and wastewater plant in service. Unless a year end
10 rate base is utilized, the opportunity to earn a
11 return on the portion of \$4.8 million used to serve
12 the public will be lost.

13

14 **RATE BASE**

15 Q. How was rate base developed?

16 A. The rate base consists of the adjusted year end
17 balance for the period ending December 31, 1995 of
18 the following components: plant in service, less
19 accumulated depreciation, less contributions in aid
20 of construction (CIAC) net of amortization, less
21 advances for construction associated with used
22 plant plus the net balance of deferred taxes and an
23 allowance for working capital. Each of these
24 components is adjusted to reflect ratemaking
25 considerations. And, each of these components is

1 adjusted, where applicable, to reflect only the
2 investment that is used and useful in the public
3 interest.

4

5 Q. Did you make any adjustments to the book balances
6 of these component accounts?

7 A. Yes, I did. First, with regard to Plant in Service,
8 I allocated general plant between the water and
9 wastewater systems. PCUC books all general plant
10 under the NARUC water system accounts. I also
11 transferred, or reclassified, some wastewater plant
12 balances to reflect their current use. This
13 includes transferring some 2.3 MGD oxidation basin
14 trains from Plant in Service to Plant Held for
15 Future Use and transferring advanced sewer mains
16 from Plant Held for Future Use to Plant in
17 Service. The oxidation basin trains are not
18 currently in use but may be reactivated in the
19 future. The advanced sewer mains that were being
20 held for future use have been determined to be
21 necessary, to some degree, to provide service to
22 existing customers. Their used and usefulness has
23 therefore been analyzed in the same manner as all
24 other mains.

25

1 Q. Did you adjust any other rate base components
2 besides Plant in Service?

3 A. Yes. Adjustments associated with the Plant in
4 Service adjustments were made to Accumulated
5 Depreciation. The balance of the Construction Work
6 in Progress account was removed from rate base. In
7 addition the balance of the Advances for
8 Construction account was adjusted for used and
9 useful considerations. This was done because the
10 balance in water rate base is related to advanced
11 property which has been eliminated from rate base
12 as 100% non-used. The balance in the wastewater
13 rate base is related to the advanced mains which I
14 previously indicated has been transferred to Plant
15 in Service for ratemaking purposes. It has been
16 adjusted by the same percentage used and useful as
17 the mains with which it is associated.

18

19 Q. Rate Base includes the line item "Net Debit
20 Deferred Taxes (Used)." Please explain what that
21 item represents.

22 A. Commission Rule 25-30.433(3), F.A.C. requires that
23 the used and useful portions of debit and credit
24 deferred taxes be offset against one another for
25 ratemaking purposes. If the net balance is a

1 credit, it is to be included in the capital
2 structure. If it is a debit, it is to be included
3 in rate base. In this case, the net was a debit.
4 Only the used and useful portion is shown in rate
5 base Schedules A-1 and A-2 of Exhibit 7 (FS-1).
6 The allocation of deferred taxes to the water and
7 wastewater systems and the determination of the
8 used and useful portion is shown in detail in
9 Exhibit 7 (FS-1), Schedule A-3-DTAX. As that
10 schedule indicates, the debit deferred taxes are
11 associated with taxes on CIAC. Credit deferred
12 taxes are primarily associated with timing
13 differences between book and tax depreciation.
14 Therefore, the used and useful adjustment for the
15 debit deferred taxes is proportionate to that for
16 CIAC, while the adjustment for credit deferred
17 taxes is proportionate to used and useful plant.

18

19 Q. How did you calculate the Working Capital component
20 of Rate Base?

21 A. In accordance with Commission Rule 25-30.433(2),
22 F.A.C., working capital was calculated using the
23 balance sheet approach. On that basis, the working
24 capital calculation results in a numerically
25 negative amount. I have therefore included zero

1 working capital in rate base. However, we take the
2 position that the balance sheet method does not
3 reflect the utility's need for working capital, but
4 rather it reflects the level of net current assets
5 and deferred non-tax debits that exists. On the
6 surface, a negative working capital says the
7 utility has no liquidity, that is, it does not
8 have cash to cover current payables. The proper
9 ratemaking treatment should be to provide the
10 working capital that the utility needs. In this
11 case, use of the balance sheet method ignores that
12 need.

13

14 Q. Were adjustments made to Plant in Service for used
15 and useful considerations?

16 A. Yes. The components of the system were analyzed by
17 consulting engineer, Mr. John Guastella (see
18 Exhibit 15 (JFG-1). I have adjusted Plant in
19 Service, Accumulated Depreciation and Depreciation
20 Expense by the used and useful percentages
21 developed by Mr. Guastella. In addition, consistent
22 with ratemaking treatment in previous cases, non-
23 used adjustments were made to CIAC and Accumulated
24 Amortization of CIAC. Basically, the only CIAC
25 considered used is that paid by customers,

1 according to the utility's records, adjusted for
2 year end amounts.

3

4 Q. Mr. Seidman, you have prepared used and useful
5 analyses in several rate applications before this
6 Commission, have you not?

7 A. That is correct.

8

9 Q. Do you agree that it is not proper to impute CIAC
10 against the ERC's in margin reserve?

11 A. Yes I do. In its last case, PCUC voluntarily
12 imputed*CIAC to be consistent with the Commission's
13 prior treatment and to eliminate one issue in an
14 extremely complicated case. But in doing so, it was
15 noted by Mr. Guastella that such treatment was
16 improper if rates are to be set equal to cost. I
17 agree that such treatment is improper and have
18 consistently stated so in all testimony I have
19 presented before this Commission in rate cases and
20 in rulemaking. The costs of plant associated with
21 providing a margin reserve is a necessary part of
22 used plant, is an investment of the utility
23 necessary to meet its statutory obligations and is
24 properly recoverable from current ratepayers.

25

1 Q. What is the net result of the adjustments to Rate
2 Base?

3 A. After all adjustments, the rate base for the test
4 year ended December 31, 1995, on a year end basis,
5 is \$21,328,433 for the water system and \$16,031,209
6 for the wastewater system.

7

8 OPERATING REVENUE

9 Q. What is included in operating revenue?

10 A. Operating revenue includes revenue received and
11 projected for 1995 from the sale of utility
12 services and from miscellaneous charges to the
13 customer such as connection or reconnection
14 charges.

15

16 Q. Were there any adjustments to the 1995 actual and
17 projected operating revenues?

18 A. Yes. I allocated Miscellaneous Revenues between the
19 water and wastewater systems; on its books, PCUC
20 shows all Miscellaneous revenue under the NARUC
21 water account. I adjusted revenues to annualize the
22 effect of a pass-through and rate index adjustment
23 that became effective for service rendered in
24 November, 1995. I also adjusted revenue to reflect

1 year end customers, consistent with our use of a
2 year end rate base. Included in this adjustment is
3 the anticipated decrease in revenues from the
4 Hammock Dunes development. Hammock Dunes purchases
5 bulk water from PCUC and distributes to its
6 residents. Hammock Dunes had engaged in a
7 considerable amount of flushing over the past year.
8 PCUC has been informed that flushing will decrease
9 significantly. The revenue adjustment reflects the
10 anticipated normal level of consumption by Hammock
11 Dunes.

12

13 **OPERATING REVENUE DEDUCTIONS**14 **Q. What is included in operating revenue deductions?**15 **A. Operating revenue deductions include operation and**
16 **maintenance expenses, depreciation and amortization**
17 **expenses and all tax expenses.**

18

19 **Q. Did you make any adjustments to test year operating**
20 **and maintenance expenses?**21 **A. Yes. I adjusted electric and chemical expenses to**
22 **reflect consumption at year end customer levels.**
23 **This adjustment includes the effect of the**
24 **anticipated reduced consumption by Hammock Dunes.**

25

1 Q. Did you make any adjustments to O&M expenses for
2 excessive unaccounted-for water or infiltration and
3 inflow?

4 A. No. No such adjustments were necessary. As shown in
5 Exhibit 7 (FS-1), Schedule F-1, Unaccounted-for
6 water for the test year is less than 5% of gallons
7 pumped. This is well within the range considered
8 reasonable for any water distribution system.

9
10 With regard to infiltration and inflow in the
11 wastewater collection system, I measured the
12 gallons treated but not billed-for against the
13 specification allowance for infiltration set out in
14 Water Pollution Control Federation Manual of
15 Practice No. 9 and found it to be well within that
16 specification allowance. Since the total amount not
17 billed-for fell within the specification allowance
18 for infiltration, I did not separately address the
19 amount of inflow.

20
21 Q. Did you adjust O&M expenses for used and useful
22 considerations?

23 A. Yes. Consistent with past filings, an analysis of
24 the operating departments for used and useful was
25 performed (see Exhibit 7 (FS-4)). It is quite

1 unusual for a utility to perform a used and useful
2 analysis of its operating departments. The
3 Commission has always recognized that O&M expenses
4 are composed in general of variable, not sunk costs
5 and that operating costs are typically geared to
6 serve only current customers even though large
7 amounts of plant may be non-used and useful for
8 ratemaking purposes. However, several rate cases
9 ago, PCUC recognized that because it was closely
10 associated with the developer, in the early stages
11 of development some of its employees would be
12 devoting time for planning, record keeping and
13 maintenance associated with developing the
14 community in general and maintaining non-used
15 plant. This is the third rate case in which an
16 analysis has been performed and, judging from its
17 results, it will probably be the last. As the
18 summary of the analysis shows on Schedule B-3-O&M,
19 the amount of "non-used" operating department
20 expenses is now down to less than ten percent. Only
21 the expenses related to maintaining the
22 distribution and collection mains still show non-
23 used amounts of any significance. The analysis
24 methodology is consistent with that used in
25 previous rate cases.

1 Q. Did you compare the adjusted operating expenses
2 with those allowed in the last rate case?

3 A. Yes. That comparison, by departments, is set out,
4 as required in Exhibit 7 (FS-1), Schedules B-7
5 and B-8. In those schedule, the adjusted test year
6 expenses are compared to the expenses allowed in
7 the last rate case after allowing for changes in
8 customer growth and the consumer price index.

9
10 Q. How do adjusted test year expenses compare?

11 A. The adjusted test year expenses compare favorably
12 when consideration is given to increases not
13 directly affected by inflation or growth. One must
14 remember that the expense comparison required in
15 the MFR is a simplified guideline. Its underlying
16 assumption is that, after adjusting for inflation,
17 the unit cost of O&M remains the same. So if it
18 costs \$10.00 to serve one ERC, it will cost \$20.00
19 to serve two ERC's. This is not necessarily the
20 case. For example, the cost of health insurance
21 have changed dramatically over the years. The cost
22 per employee has risen far in excess of the rate of
23 inflation, without even considering the changes in
24 the services offered under a health care package.
25 Another example of changes that cannot necessarily

1 be tied to growth or inflation is the change in the
2 number of employees. At the time of the last rate
3 case, PCUC operated its wastewater treatment plant
4 with the equivalent of 1.5 operators. It now takes
5 six people to operate that plant. The reason is a
6 change in classification of the plant under
7 Department of Environmental Protection rules
8 resulting in a change in staffing requirements. A
9 plant that once required operator attendance for
10 six hours a day, five days a week, now must be
11 staffed 16 hours a day, seven days a week, and the
12 lead operator must have a higher rating. Another
13 factor that results in cost changes not directly
14 related to growth or inflation is when growth must
15 be met by adding a treatment plant rather than
16 expanding an existing one. This requires a second
17 set of personnel, not just a proportional increase
18 in staffing. All of these examples represent
19 changes undergone by PCUC since its last rate case.
20 These and other related changes are outlined in
21 Exhibit 7 (FS-1), Schedules B-7 and B-8. When
22 they are taken into consideration, the level of
23 PCUC's O&M expenses are reasonable.

24

1 Q. Did you adjust operating expenses for the test year
2 to recover the cost of this rate case application?

3 A. Yes. I have estimated the cost of this application
4 to be \$ 301,500 to complete it through the hearing
5 and post hearing process. Exhibit 7 (FS-1),
6 Schedule B-10 details the rate case expense
7 components. Rate case expense is to be amortized
8 over four years at the annual rate of \$ 37,688 each
9 for the water and wastewater systems.

10

11 Q. What adjustments were made to depreciation
12 expenses?

13 A. Consistent with the allocation of general plant, I
14 have allocated the associated depreciation expense.
15 I have added or reduced the expense accordingly
16 that is associated with plant reclassified between
17 Plant in Service and Plant Held for Future Use. I
18 have also adjusted depreciation expense to amounts
19 consistent with year end plant balances. Finally,
20 the used and useful factors developed for Plant in
21 Service have been applied to depreciation expense.

22

23 Q. Did you adjust the CIAC amortization expense also?

24 A. Yes. CIAC amortization was adjusted to recognize
25 year end plant balances.

- 1 Q. What are the adjustments shown on Exhibit 7 (FS-
2 1), Schedules B-1 and B-2 for Amortization, CIAC
3 Tax Gross-up?
4 A. Those adjustments make the amortization of the CIAC
5 tax consistent with the year end balance of the
6 CIAC tax gross-up account.
7
8 Q. What adjustments were made to Taxes Other than
9 Income?
10 A. I adjusted the Regulatory Assessment Fee (RAF) to
11 equal 4.5% of the adjusted operating revenue. I
12 removed the RAF associated with the Community
13 Development Corporation Revenue Agreement. I
14 reallocated the payroll and other taxes associated
15 with the administrative departments to be
16 consistent with the allocation of those
17 departmental expenses between the water and
18 wastewater systems. And I adjusted the property
19 taxes to reflect the current millage and valuation
20 amounts.
21
22 Q. Have you included an allowance for income taxes?
23 A. Yes. The income tax provision treats PCUC on a
24 stand alone basis, with the required recognition of
25 a parent debt adjustment.

1 **CAPITAL STRUCTURE**

2 **Q. What is the capital structure of the utility?**

3 **A. The capital structure, shown in Exhibit 7 (FS-**
4 **1), Schedules D-1 and D-2, consists of equity, long**
5 **and short term debt plus customer deposits and**
6 **accumulated deferred investment tax credits. The**
7 **capital of the utility has been reconciled to rate**
8 **base on a prorata basis.**

9

10 **Q. Were any adjustments made to the capital structure?**

11 **A. No. However, consistent with a year end rate base,**
12 **year end amounts were used to determine the**
13 **weighting of the components. The cost used for**
14 **each debt component is the interest expense for**
15 **twelve months divided by the average balance of the**
16 **component. That rate is applied to the year end**
17 **amounts.**

18

19 **Q. What is the rate of return for the Equity component**
20 **of capital?**

21 **A. The rate of return for the equity component is**
22 **11.10%. This is based on the most recent leverage**
23 **formula adopted by the Commission in Order No. PSC-**
24 **95-0982-FOF-WS, issued August 10, 1995, applied to**
25 **PCUC's equity ratio.**

1 Q. What is the rate of return which the utility should
2 be allowed to earn on its rate base?

3 A. The rate of return which the utility should be
4 allowed to earn for the test year is 8.84%, which
5 is the weighted cost of debt and equity.

6

7 Q. Are you proposing any change in the rate for
8 Allowance for Funds Used During Construction
9 (AFUDC)?

10 A. Yes. We are requesting that the Commission
11 authorize the AFUDC rate to be changed to the
12 approved weighted cost of capital.

13

14 **REVENUE REQUIREMENT**

15 Q. What is the revenue requirement necessary to
16 recover the utility's cost of service, including a
17 8.84% return on rate base?

18 A. The revenue requirement is \$ 6,971,647 for the
19 water system and \$4,906,850 for the wastewater
20 system, as shown in Exhibit 7 (FS-1), Schedules
21 B-1 and B-2. The increase in revenue required to
22 produce this level of return is \$1,479,626 for the
23 water system and \$1,575,817 for the wastewater
24 system.

25

1 **RATES AND RATE STRUCTURE**

2 **Q. What rates are proposed to produce the revenues**
3 **required?**

4 **A. The rates proposed are summarized in Exhibit 7**
5 **(FS-1), Schedule E-1.**

6

7 **Q. Is PCUC proposing to remove or add any rate**
8 **classes?**

9 **A. Yes. PCUC is proposing to eliminate the Public**
10 **Hydrant Charge. Public hydrants provide for the**
11 **public welfare of all PCUC customers and the cost**
12 **of maintaining hydrants can be absorbed by all**
13 **customers without any discernible impact. Public**
14 **fire hydrant revenues represent approximately 1.8%**
15 **of the requested water revenues.**

16

17 PCUC is also proposing to add a new rate class for
18 effluent reuse customers, as developed in a cost
19 study prepared by Mr. Guastella. The costs
20 associated with providing reuse service have been
21 used to reduce the costs to be recovered from other
22 wastewater customer classes. The proposed charge
23 for effluent reuse service is \$0.67 per 1000
24 gallons and is projected to generate annual revenue
25 of \$195,640 on a proforma basis.

1 Q Have you proposed any change in rate structure?

2 A. The only structural change proposed is that for
3 Private Fire Protection Service (PFPS) customers.
4 Currently, these customers pay a monthly rate equal
5 to one-third of the base facility charge for the
6 equivalent meter size. In accordance with
7 Commission Rule 25-30.465, that charge must be
8 reduced to one-twelfth of the base facility charge.
9 This 75% reduction in the PFPS charge will now be
10 passed on to other water customers.

11

12 The present rate structure for metered services
13 includes a base facilities charge and a gallonage
14 charge as recommended by the Commission. The
15 requested rates maintain that same rate structure,
16 however, the relative portions of costs to be
17 recovered through the base facility charge and the
18 gallonage charge has been changed in accordance
19 with the cost allocations in Exhibit 7 (FS-1),
20 Schedule E-13A. These cost allocations are
21 consistent with those developed as a guideline by
22 the Commission staff.

23

24

25

1 **SERVICE AVAILABILITY CHARGES**

2 Q. Are you proposing any changes to the service
3 availability charges?

4 A. Yes. Coincident with the filing of this rate case,
5 PCUC filed Exhibit ____ (FS-5), an application to
6 change service availability charges. An analysis
7 was prepared of the range of service availability
8 charges that meet the guidelines in Commission Rule
9 25-30.580, F.A.C. The method of determining plant
10 and CIAC balances utilized in this analysis is
11 consistent with that used by the PSC staff in its
12 analysis of fees the last time they were considered
13 for change. The analysis is based on the costs,
14 ERC's and capacities developed for the projected
15 1995 test year. The analysis shows the water charge
16 meets the guideline minimum, but the wastewater
17 charge does not. It also shows that the present
18 fees will result in net CIAC levels of 55% and 71%,
19 for water and wastewater, respectively, at the next
20 treatment buildout level. The proposed charges will
21 bring the level of water and wastewater net CIAC
22 close to the guideline maximum. It will also bring
23 wastewater gross CIAC up to the minimum guideline
24 level. In the case of wastewater, the minimum and
25 maximum levels are nearly the same. The water

1 ~~charge would increase from \$766.00 to \$1,500.00.~~
2 ~~The wastewater charge would increase from \$1,466.00~~
3 ~~to \$1,600.00. We do not propose any changes in~~
4 ~~meter and service installation fees.~~

5

6 Q. Does that conclude your prefiled direct testimony?

7 A. Yes it does.

8

9

10

11

1 **MR. GATLIN:** Mr. Seidman is available for
2 questions.

3 **COMMISSIONER DEASON:** Does the County have
4 questions for Mr. Seidman?

5 **MR. SIRKIN:** Would you like us for us to go
6 first?

7 **COMMISSIONER DEASON:** Normally we go from
8 left to right. But if there is a preferred order, I
9 will accept that.

10 **CROSS EXAMINATION**

11 **BY MR. SIRKIN:**

12 **Q** Good afternoon, Mr. Seidman. My name is
13 Arthur Sirkin. I'm here representing the County in
14 this proceeding.

15 I'd like for you to explain how the charge
16 for each 100,000 gallons of capacity for Dunes was
17 arrived at? Dunes, I understand, has an up-front
18 charge, if you understand my question.

19 **A** Yes. The charge for reserving capacity for
20 100,000 gallons.

21 **Q** Yes, sir.

22 **A** I believe that was arrived at by a formula
23 in a Commission Order.

24 **Q** Is that order in the record? Is that one of
25 the documents that have been admitted into the record?

1 **MR. MELSON:** Chairman Deason, that is one of
2 the orders that Dunes was just granted official
3 recognition of, Order 21606.

4 **BY MR. SIRKIN:**

5 **Q** Does that include a margin reserve and a
6 margin reserve gross-up as the Company is asking for
7 from all the rest of the users of the system?

8 **A** I don't believe so. I think it includes
9 only -- is a charge related only to the incremental
10 cost of facilities to provide that capacity.

11 **Q** So Dunes has not paid for a margin reserve
12 to the best of your knowledge?

13 **A** In that rate, that would be correct.

14 **Q** What about Mr. Guastella's suggested 20%
15 economy of scale gross-up, does it include that?

16 **A** No, it would not.

17 **Q** Thank you.

18 In your testimony, Page 10, Line 3, in your
19 rebuttal testimony, you talk about Palm Coast being
20 plated for 46,000 lots, of which 12,000 have
21 customers; is that correct?

22 **COMMISSIONER DEASON:** Excuse me, let me ask
23 a question at this point. I understand that we're
24 doing direct and then rebuttal is to follow. We're
25 not going direct and rebuttal simultaneously; is that

1 correct?

2 **MR. EDMONDS:** That's correct.

3 **COMMISSIONER DEASON:** Your question
4 pertained to --

5 **MR. SIRKIN:** Oh, I'm sorry. I didn't
6 realize that was the rule. My apology. (Pause)

7 **Q** Mr. Seidman, can you refer to MFR F-1,
8 Page 118. I'd like you to refer to the item called
9 "other uses."

10 **A** Yes, sir.

11 **Q** Could you please explain what is in that
12 category? Not with the exhibits, not what the Florida
13 Public Service Commission requires, but what is
14 actually in there as far as the Company is concerned.
15 Did they include all of those various items in that
16 category?

17 **A** In the "other uses" category there is
18 primarily flushing water. There are some other things
19 that we've broken down in response to a request for
20 document or an interrogatory, but primarily it's
21 flushing water.

22 **Q** What other things would be in there?

23 **A** Construction water. Maybe leaks.

24 **Q** Would leaks be unaccounted-for water or do
25 you account for leaks?

1 A These would be accounted-for leaks. These
2 would be some major leak that could be identified.

3 Q And how do you determine the volume of water
4 that was flushed?

5 A The Company normally determines the amount
6 of water for flushing by timing the amount of time the
7 hydrant is running times the rate that it's running
8 at. They do daily flushing reports.

9 Q Where is plant use water accounted for?

10 A Plant use water?

11 Q Uh-huh.

12 A I'm not sure.

13 **MR. SIRKIN:** That's all the questions I have
14 on your direct testimony at this time.

15 **COMMISSIONER DEASON:** Mr. Reilly. Excuse
16 me.

17 **COMMISSIONER JOHNSON:** Did it relate
18 specifically to Dunes?

19 **MR. SIRKIN:** It related to Dunes' up-front
20 charge for the 100,000 gallon units. The question was
21 does it include the margin reserve and the gross --
22 economies of scale gross-up the Company is requesting
23 of all other ratepayers.

24

25

1 CROSS EXAMINATION

2 BY MR. REILLY:

3 Q Mr. Seidman, how are you doing?

4 A Okay.

5 Q Am I correct that to estimate the reuse
6 revenue from Hammock Dunes you assumed that Hammock
7 Dunes would take 800,000 gallons per day times 365
8 days?

9 A I'd have to check on that.

10 Q Would you accept that figure, subject to
11 check.

12 A Yes.

13 Q And in your calculation, am I correct you
14 multiplied this total number of gallons, which is
15 292 million gallons, that would be 365 times 800,000,
16 times your proposed rate of .67 per thousand gallons
17 to arrived at the revenue to be generated of 195,640?18 A I believe that's correct. The reason I
19 hesitated before is this calculation was done by
20 Mr. Guastella in his effluent disposal -- I'm sorry,
21 is this water or wastewater?

22 Q This is effluent.

23 A Yes, that was calculated in his study.

24 Q Am I correct that Hammock Dunes has agreed
25 to use its best efforts to take up 1.6 million gallons

1 a day of reuse on an average annual basis?

2 **A** You'd have to ask Mr. Guastella that. I
3 didn't do anything on the effluent disposal except to
4 transfer the revenue dollars into the rate
5 calculation.

6 **Q** We're going to pass out an exhibit, FS-1D,
7 and it is a response to OPC Document Request No. 62,
8 it includes legal bills for the year ending 1995.

9 **COMMISSIONER DEASON:** Do you wish to have it
10 identified?

11 **MR. REILLY:** I'd like to have it marked for
12 identification purposes.

13 **COMMISSIONER DEASON:** Exhibit No. 8.

14 (Exhibit No. 8 marked for identification.)

15 **Q** (By Mr. Reilly) If you could turn to Page 3
16 of this exhibit, and the numbers are on the bottom
17 left corner.

18 **A** Yes, sir.

19 **Q** It appears to be a bill from the Gatlin,
20 Woods, Carlson & Cowdery for the month of January
21 1995, would you agree?

22 **A** Yes, sir.

23 **Q** There's an entry which I have marked which
24 reads "Telephone conferenced regarding Governor's
25 policies on agency budget and FAC reduction." Do you

1 know what this is related to?

2 A Not other than what it says, relating to the
3 reduction in rules.

4 Q Excuse me?

5 A Reduction in rules, administrative code.

6 Q Do you know what agency that this is
7 referring to?

8 A No.

9 Q Can you tell us why the costs should be
10 recovered from ratepayers since it appears to be
11 related to legislative matters?

12 A If they are legislative matters that have a
13 effect on the Utility, I think they would be properly
14 included as a legal expense.

15 Q Can I have you turn to Page 5 of this
16 exhibit? This is another bill from the same law firm,
17 would you agree?

18 A Yes, sir.

19 Q There's a similar entry that I've marked
20 which states "Review agency budget reduction
21 documents." Do you know what agency or budget
22 reduction is referred to here?

23 A I would only have to guess because it's
24 followed by PSC Annual Report Excerpts, but that would
25 be a guess.

1 Q So you believe it relates to the agency as
2 the PSC?

3 A I would believe so.

4 Q Could you turn to Page 6 of this exhibit.
5 This is another legal bill from the same law firm; is
6 that correct?

7 A That is correct.

8 Q I marked the first entry which states that
9 it relates to CIAC payment by installment. Do you
10 know what this relates to?

11 A This relates to an attempt by the Utility to
12 see if they could get authority or permission to allow
13 people on the beach side to pay their service
14 availability charges over time. These are people that
15 have access to the system now that lines are out on
16 beach-side but were existing homes. And as an
17 inducement to get them to hookup, they were trying to
18 give them an option of paying the service availability
19 charge over time.

20 Q So this does not refer to any monies to be
21 received from Hammock Dunes?

22 A No.

23 Q What will happen if the service availability
24 charges change over time and the person is making
25 their payments on an installment basis? Do they have

1 any rights to -- what exactly is the nature of the
2 agreement reached with the Utility on this installment
3 payment?

4 A I don't know the exact terms of the
5 agreement. My understanding is that if the agreement
6 exists, that it's approved by the Commission, so
7 whatever terms are in that would be applicable. I
8 would assume -- well, I won't assume anything on it.

9 Q Has it, in fact, been approved by the
10 Commission?

11 A I don't know.

12 Q Could I have you turn to Page 7. There's an
13 entry which I've marked which is for the proposed rate
14 case. Was this amount charged to rate case expense or
15 test year expenses?

16 A I don't know. I would have to coordinate
17 this exhibit with our rate case expense exhibit to see
18 if it is included in that amount.

19 Q But to be included in this response to this
20 discovery at least evidences that it is to be included
21 in test year expenses?

22 A I don't know what the question was for the
23 request.

24 Q If it is in test year expenses, should it be
25 removed and put into rate case expense?

1 A It could go either way. Since it seems to
2 precede the case, it looked like maybe at that time
3 there was a conference to determine whether or not
4 they were going to file a case; it could go either
5 way.

6 Q Also on this same page there's an entry for
7 privatization for the charge of \$210. Do you know
8 what this relates to?

9 A No, I don't.

10 Q Could you turn to Page 8. I want to address
11 both entries on this page. The first relates to CIAC
12 payment by installment. Would I be correct this
13 relates to the same matter previously discussed?

14 A Yes, that's correct.

15 Q The next charge is for developer agreements.
16 Can you tell me if this relates to a developer
17 agreement that result in guaranteed revenue or CIAC?

18 A Yes. It relates to guaranteed revenue or
19 CIAC.

20 Q Do you know which?

21 A I don't know.

22 Q If it relates to guaranteed revenues, should
23 these costs be recorded below the line since the
24 associated revenue is recorded below the line?

25 A You mean should the legal expense be below

1 the line?

2 Q Yes. If the expenses involved in developing
3 a developer agreement that relates to generating
4 guaranteed revenues, should the expense associated
5 with that revenue also be put below the line?

6 A No. I think it's probably above the line
7 because it's an effort by the Utility to determine
8 financing. If they are able to work out something
9 that provides either a guaranteed revenue or some type
10 of a fee, then it relieves the other customers of
11 cost.

12 Q Now, if it relates to CIAC, do you know if
13 the CIAC is used and useful?

14 A Eventually it would be. It depends on what
15 the agreement says when it comes in and what it is
16 for.

17 Q And your view would be that current
18 ratepayers should pay for these expenses whether the
19 associated CIAC is associated with nonused and useful
20 or used and useful --

21 A As far as, yes, legal expenses to do with
22 utility business, yes. It's still utility business.

23 Q Could you turn to Page 9. The first entry
24 which I have marked says "in reference to airport."
25 Do you know what this matter is about?

1 A This relates to the agreement with the
2 county airport to provide service.

3 Q Do you know what the status of this project
4 is at this time?

5 A There is an agreement to provide service.

6 Q And as far as the work to run the lines, do
7 you know where the Utility -- has any of the work
8 begun?

9 A No. The agreement was just sent -- entered
10 into in the past month, I believe. They just had a
11 groundbreaking last month.

12 Q There are also three entries for developer
13 agreements on this same page. Can you tell me for
14 each if the legal services performed relate to
15 developer agreements which produce guaranteed revenue
16 CIAC, and if CIAC, whether the CIAC is used and useful
17 or nonused and useful?

18 A I can't tell you.

19 Q Could you turn to Page 10. The first entry
20 is for the airport. Is this the same matter discussed
21 previously?

22 A Yes.

23 Q The second marked entry is developer
24 agreements. Can you tell me if the legal services
25 performed relate again to developer agreements that

1 relate to those same subjects I alluded to before?

2 A I don't know.

3 Q Will you turn to Page 11?

4 A Whatever it was it ended up as an agenda
5 item before the Commission.

6 Q Okay. Page 11 under the section "General
7 and Miscellaneous" there's an entry which states
8 "Telephone conference regarding legislative matters."
9 Do you know what legislative matters were addressed?

10 A No, I don't.

11 Q Would you turn to Page 14. Again there's an
12 entry for developer agreements. Can you again shed
13 any light on the subject of these agreements as to
14 their relationship to --

15 A This would have been with regard to the
16 application to increase the service availability
17 charges.

18 Q Separately docketed.

19 A Separately docketed, yes.

20 Q There's also an entry which I have marked
21 labeled "service availability."

22 A I'm sorry, that's what I was talking about.

23 Q Okay. Do you believe that the cost
24 associated with developing the information to file
25 your service availability charge is an expense that

1 should be collected from ratepayers?

2 A Yes.

3 Q Is the development of a service availability
4 docket a recurring expense that the Utility could
5 expect to undertake, or is it, in fact, an abnormal or
6 nonrecurring expense that would only be expected to
7 occur once in a number of years?

8 A Once in a number of years.

9 Q Has the Commission not in such instances
10 more appropriately amortized that expense over a
11 five-year period as opposed to expensing the full cost
12 in the subject test year?

13 A I think in general that's correct. Because
14 usually when I have done service availability charges
15 they have been considered at the same time as the rate
16 case and would have been part of the rate case
17 expense.

18 Q And then --

19 A That would have been amortized with it.

20 Q Over a four-year period?

21 A Right.

22 Q Do you know what happens when they are done
23 separately and not made a part of the rate case in
24 terms of the expenses? Do they roll it into the
25 calculation of the service availability charge or is

1 there any amortization?

2 **A** Neither. If it was just done as a separate
3 docket outside of the scope of a rate case, there
4 would be no way for the Utility to recover it because
5 it would be just an expense in that year. Because the
6 rate case expense is not part of what is recovered in
7 the service availability charge.

8 **Q** Moving on to Page 15, we've highlighted
9 several items. Now this is a bill from the law firm
10 of Chiumento, Katz & Guntharp that were dated July 3,
11 1995?

12 **A** Yes, sir.

13 **Q** Could you please review the three entries
14 that I've marked. These all appear to relate to a
15 lease agreement with BellSouth Mobility for the lease
16 of a water tower used by BellSouth Mobility. Would
17 you agree?

18 **A** Yes. At least one of the entries does
19 mention the water tower, and the others don't but I'll
20 assume they are associated with it.

21 **Q** And the others mention BellSouth?

22 **A** Yes, they do.

23 **Q** Do you know what all this relates to?

24 **A** No, I do not.

25 **Q** Would it be reasonable to conclude that

1 BellSouth Mobility wants to lease the water tower to
2 install an antenna?

3 A I don't know.

4 Q If this assumption is correct, would you
5 expect that the lease agreement would generate revenue
6 for the Utility?

7 A If they lease it for a price, yes.

8 Q Since it relates to a water tower that is
9 partly or wholly included in rate base, shouldn't the
10 lease revenue also be included in test year regulated
11 revenue, or at least for that portion of the water
12 tower which is included in rate base as used and
13 useful?

14 A I wouldn't have any problem with that.

15 Q You would not. Could you provide that as a
16 late-filed exhibit of the lease agreement between PCUC
17 and BellSouth Mobility, assuming that there is such a
18 final agreement, and if not, a draft of the document.

19 **COMMISSIONER DEASON:** Mr. Seidman, can you
20 provide that?

21 **WITNESS SEIDMAN:** I don't know. I'd have to
22 find out. I don't know if it's been executed.

23 **MR. REILLY:** I missed that.

24 **COMMISSIONER DEASON:** He's not sure that
25 such a document has been executed.

1 **MR. REILLY:** What our request would be is if
2 we could get a copy of the document, if it's executed,
3 if it's -- excuse me a second -- we would request a
4 draft, the latest draft if there's not an executed --

5 **MR. GATLIN:** Mr. Chairman, we would object
6 to furnishing a draft of a document that's in
7 negotiations. We would not be able to do that.

8 **COMMISSIONER DEASON:** There's been an
9 objection to such an exhibit, Mr. Reilly. Would you
10 care to respond?

11 **MR. REILLY:** I would say that with the
12 direction that we're headed, to try to input the
13 income with the associated expense, that we would
14 restrict our request to an executed agreement. If
15 such an agreement does exist, we would continue to
16 request a copy of it. If no agreement has yet been
17 reached, then we will be satisfied not to receive it.

18 **COMMISSIONER DEASON:** If such an executed
19 agreement exists, is there any objection to providing
20 that?

21 **MR. GATLIN:** If it's executed we will
22 provide it.

23 **COMMISSIONER DEASON:** We will identify it is
24 Late-filed Exhibit No. 8 -- I'm sorry, Late-filed
25 Exhibit 9, the executed agreement, if one exists

1 between, Palm Coast Utility Corporation and BellSouth
2 Mobility.

3 **MR. REILLY:** Okay, thank you.

4 (Late-Filed Exhibit No. 9 identified.)

5 **MR. REILLY:** I'm having another exhibit
6 handed out labeled FS-2D, top left-hand corner. This
7 is the Company's response to OPC Interrogatory No. 47
8 which asks for the amount of guaranteed revenue
9 received by the Company.

10 **COMMISSIONER DEASON:** Do you want this
11 identified?

12 **MR. REILLY:** I'd like to have this
13 identified.

14 **COMMISSIONER DEASON:** Exhibit 10.

15 **MR. REILLY:** Thank you.

16 (Exhibit No. 10 marked for identification.)

17 **Q** (By Mr. Reilly) Mr. Seidman are you familiar
18 with how the Company determines the amount of
19 guaranteed revenue that it collects from various
20 developers?

21 **A** I'm somewhat familiar with the development
22 of the one for ICDC; not particularly with the others.

23 **Q** Now, excluding -- well, excluding ICDC, does
24 the amount of guaranteed revenue change depending on
25 how much the plant -- how much the Commission

1 determines is used and useful, or do you have even not
2 that level of understanding.

3 A No. I haven't looked at those agreements.

4 Q Could you look at the last page of this
5 exhibit, and it's my understanding that all of these
6 are monies received from these various entities to
7 compensate the Utility for nonused and useful plant;
8 is that correct?

9 A Well, it looks like the Hammock 1 has to do
10 with expenses and taxes to do with some portion of
11 plant. And the others, all we have is a cost of
12 capital gross-up involved in there.

13 Q With respect to Hammock Dunes Phase 1 and 2,
14 what nonused and useful O&M is Hammock Dunes
15 reimbursing the company for?

16 A I don't know what the agreement says. I'd
17 have to look at the agreement.

18 Q Does Mr. Guastella know anything, or do you
19 have any idea about whether he could answer that
20 question?

21 A No, but it's something I can find out for
22 later.

23 Q Perhaps at the time of rebuttal testimony we
24 could have that clarified?

25 A That would be fine.

1 Q Again, the same answer; you would not know
2 what nonused and useful property and other taxes is
3 Hammock Dunes reimbursing the company for?

4 A I don't know what is being reimbursed in
5 there.

6 Q Have any of the customers of Hammock Dunes
7 Phase 1 and 2 connected to the utility system; do you
8 know that?

9 A No.

10 Q And do you know if the Company's proposed
11 '95 rate base includes any plant that will serve
12 Hammock Dunes Phase 1 and 2?

13 A I don't know anything about these
14 agreements.

15 MR. GATLIN: Mr. Chairman, you talk about
16 finishing tomorrow. I'm not sure we'll finish in
17 three weeks. It looks to me -- and I object to these
18 kinds of questions -- it looks like we're just --
19 we're conducting discovery now; and the time for
20 discovery is over, to bring these exhibits out and
21 then ask each little column and each where it came
22 from. That's not cross examination. It's not his
23 exhibit.

24 COMMISSIONER DEASON: Mr. Reilly?

25 MR. REILLY: I believe this is a response to

1 our interrogatory request. I believe that this is a
2 legitimate issue in this proceeding, and we're trying
3 to quantify and understand this whole guaranteed
4 revenue arrangement. And I would hope that we'd be
5 given latitude to pursue that.

6 Now, this witness does not appear to be able
7 to answer any questions on this exhibit, and I had
8 decided I was going to move on to my next set of
9 questions.

10 **COMMISSIONER DEASON:** Very well.

11 **MR. REILLY:** But I wouldn't want to have to
12 endure these kinds of objections every time we ask
13 questions about a highly relevant issue.

14 **COMMISSIONER DEASON:** Well, let's proceed,
15 and if there's another objection, we'll deal with
16 it --

17 **MR. REILLY:** We'll deal with that. Okay.

18 **Q** (By Mr. Reilly) Let me ask you a few
19 questions about CIAC. PCUC has some CIAC which is
20 held in trust; is that correct?

21 **A** Yes, sir.

22 **Q** Why is the CIAC held in trust?

23 **A** To preserve it for the use of future
24 customers who have prepaid towards it.

25 **Q** Now, PCUC also has a substantial amount of

1 CIAC that is not held in trust; is that correct?

2 A That's correct.

3 Q Am I correct that developer Palm Coast, ITT
4 Community Development Corporation, collected water and
5 sewer connection charges from customers and then
6 turned this money over to PCUC?

7 A Would you repeat the question?

8 Q Is it not correct that ICDC collected water
9 and sewer connection charges from lot purchasers and
10 then turned that money over to PCUC?

11 A ICDC collects some type of a charge from
12 people buying property on a time basis and turns that
13 money over to Palm Coast; that's correct.

14 COMMISSIONER KIESLING: Could you answer his
15 question specifically? You said "some kind of
16 charge." That's not what you asked. Could you ask
17 your question again as to --

18 MR. REILLY: It's the various CIAC
19 connection charges.

20 WITNESS SEIDMAN: ICDC collects several
21 charges. I'm not familiar with all of them. Part of
22 it is partial payments, prepayments, that will be
23 available towards the service availability charge when
24 they finally hook up to become customers. And that
25 money is collected, is turned over to Palm Coast.

1 Q (By Mr. Reilly) Now, is it not true that
2 this money is turned over prior to the customers
3 actually connecting?

4 A That's correct. It's prepaid. It's a
5 prepaid arrangement between the customer and ICDC.

6 Q Well, it's, of course, prepaid by the
7 customer and ICDC collects it, but it's also
8 immediately handed over as it's collected to the
9 Utility.

10 A That's correct.

11 Q What happens when a connection charge is
12 financed by ICDC? Is the money turn over as collected
13 and only when -- or only when 100% of the
14 connections -- collections have been made?

15 COMMISSIONER KIESLING: Could you repeat
16 that one?

17 MR. REILLY: Well, the question relates to
18 the finance charges.

19 WITNESS SEIDMAN: Whose finance charges?

20 Q (By Mr. Reilly) Does ICDC retain a finance
21 charge?

22 A I don't know.

23 Q Can you explain why Palm Coast has so much
24 prepaid CIAC?

25 A Because between the contracts between ICDC

1 and lot purchases, they've collected a lot of money
2 towards their service availability charges for when
3 they become customers.

4 Q From your experience in the water and
5 wastewater industry, is this normal?

6 A It's kind of unique. I don't think there's
7 a lot of companies that have done that.

8 Q Do you know if the developer, ICDC, offered
9 any incentives for customers to prepay their CIAC
10 charges?

11 A I have no idea about any relationship
12 between ICDC and lot purchasers.

13 Q So you would not know about any guarantees
14 that ICDC might have made to customers to give them an
15 incentive to prepay?

16 MR. GATLIN: Mr. Chairman, I object to that
17 question because it's answered in the last rate order
18 that was a three-year investigation. That was an
19 issue in that case and it's spelled out, and Mr.
20 Reilly was there and heard all the testimony.

21 MR. REILLY: I just wanted to know what this
22 witness knows, if he knows anything --

23 COMMISSIONER DEASON: I believe the witness
24 says he doesn't know, so we can proceed.

25 Q (By Mr. Reilly) How long does it take,

1 approximately, to hire a plant operator; do you know?
2 Do you have any experience or knowledge about the time
3 period that a company could expect?

4 **A** I have been associated with utilities, and
5 it varies. If you're lucky -- and it depends on what
6 the market is, you may be able to get a plant operator
7 in a short period of time.

8 **Q** And that would be within a month or so?

9 **A** I'd say 30 to 60 days.

10 **Q** You've included a margin reserve in the used
11 and useful calculations for O&M expenses; is that
12 correct?

13 **A** For just certain portions, portions related
14 to lines, maintenance of lines.

15 **Q** Have you not included a margin reserve
16 associated with those O&M expenses relating to
17 salaries and -- salaries that maintain the lines?

18 **A** Yes; the water distribution and wastewater
19 collection departments. Yes.

20 **Q** And is it not true that you've requested a
21 five-year margin reserve for wastewater and three
22 years for water?

23 **A** I believe that's correct.

24 **Q** If it only takes the kind of time that we
25 were discussing earlier to hire an operator, would you

1 feel it's still appropriate to include a margin
2 reserve of such long periods in the O&M expenses?

3 **A** I don't think the margin reserve was meant
4 to cover the length of time it takes to hire an
5 operator.

6 **Q** What do you believe that it should be
7 designed to cover?

8 **A** It relates to the time to cover the plant
9 that's covered -- the plant that's included in margin
10 reserve is used and useful plant.

11 **COMMISSIONER DEASON:** Mr. Seidman, those
12 operating expenses would not already be reflected in
13 the operating statements of the Company?

14 **WITNESS SEIDMAN:** Yes; but we've done a used
15 and useful analysis of the operating expenses and have
16 taken some of them out, specifically with regard to
17 the expenses related to operating and maintaining a
18 water distribution and collection system, since they
19 are of a sizeable amount that's nonused.

20 And so in doing that, when we determined
21 what portion of the actual expenses for maintaining
22 those portions of the system, what they were, we
23 included a factor for maintaining the portion of the
24 lines that would be included as margin reserve.

25 **Q** (By Mr. Reilly) The Company is, of course,

1 separately asking for a margin reserve on plant, as I
2 understand it, and that plant is covered by that
3 margin reserve.

4 I understood this margin reserve associated
5 with O&M would apply more to the personnel and the
6 expenses associated with those personnel in operating
7 that plant, and that was the nature of my question.
8 And you said, "well, it's really designed to cover the
9 cost of the plant, and --

10 A No, I'm sorry --

11 Q -- if I misunderstood your answer --

12 A -- if you misunderstood.

13 Q Okay.

14 A It's designed to cover the expenses
15 associated with maintaining the plant that's in used
16 and useful margin reserve.

17 Q Okay.

18 MR. REILLY: No further questions.

19 CROSS EXAMINATION

20 BY MR. MELSON:

21 Q Mr. Seidman, I'm Rick Melson, representing
22 the Dunes Community Development District. I've got
23 just a couple of questions about the proposed bulk
24 water rate increase.

25 Is it correct that you determine the new

1 bulk water rate by applying the same across-the-board
2 percentage increase to the current bulk water rate
3 that you applied to the other current water rates?

4 A Yes, that's correct.

5 Q Is Dunes the only customer who pays the bulk
6 water rate?

7 A Yes.

8 Q And that bulk water rate today is lower than
9 the general service rate for a comparable meter size;
10 is that correct?

11 A That's correct.

12 Q And is the reason that the bulk rate is
13 lower because Dunes has paid up-front advance capacity
14 charges which essentially refund 100% of Palm Coast's
15 investment of the water treatment plant that's
16 necessary to provide that capacity to the Dunes?

17 A That's correct. A determination was made on
18 a cost per gallon for the capacity, and it's applied
19 to whatever they purchase. And I think it has an
20 indexing formula in it for any additional capacity
21 they may want to purchase.

22 Q And Dunes also paid a tax gross-up in
23 connection with those advance capacity charges, did
24 they not?

25 A That would be correct.

1 Q And is it, therefore, correct that the
2 current rate to Dunes is set to take into account the
3 fact that Palm Coast does not have any remaining water
4 treatment plant investment related to the service of
5 Dunes and, therefore, it doesn't need to recover a
6 return on or return of that investment in the bulk
7 water rate?

8 A Could you repeat that? That was kind of a
9 long --

10 Q I'll try.

11 A -- involved question.

12 Q Is it correct that the current bulk water
13 rate to Dunes takes into account the fact that Palm
14 Coast doesn't have any remaining investment in the
15 plant necessary to serve Dunes, because that's been
16 paid by the advance capacity charge and, therefore,
17 that rate contains no component for depreciation,
18 return of investment and no component for return on
19 investment or rate of return or related income taxes?

20 A That's kind of a long way around it. But
21 basically it's lower because they have paid up front
22 for the capacity that they've required, and the return
23 and the different depreciation expenses associated
24 with it is not included in that rate.

25 Q And is all of the basis for that detailed in

1 Commission Order No. 21606 in which the bulk water
2 rate to the Dunes was initially approved?

3 A Yes.

4 MR. MELSON: I've got no further questions.
5 Thank you, Mr. Seidman.

6 COMMISSIONER DEASON: Staff?

7 CROSS EXAMINATION

8 BY MS. REYES:

9 Q Good afternoon, Mr. Seidman.

10 A Good afternoon.

11 Q Staff is passing out three exhibits that
12 I'll be using in my cross examination. Did everyone
13 get a copy?

14 Mr. Seidman, I'll refer you to them at the
15 appropriate time.

16 A That's fine.

17 Q You're sponsoring the MFRs through Exhibit
18 FS-1; is that correct?

19 A That is correct.

20 Q If I could refer you to the exhibit
21 consisting of Staff's Interrogatory No. 50 and 51.
22 That's probably the first one on the stack?

23 A Yes, I have it.

24 Q Would you agree that this is the Utility's
25 response to these interrogatories?

1 **A** Yes. It looks familiar.

2 **MS. REYES:** Commissioner Deason, may we have
3 that identified as Exhibit No. 11, I believe? Short
4 title is Utility's answer to Staff Interrogatory No.
5 50 and 51.

6 **COMMISSIONER DEASON:** Yes. Exhibit 11.
7 (Exhibit No. 11 marked for identification.)

8 **Q** (By Ms. Reyes) Would you agree that
9 according to MFR, Page 31, and the Prehearing Order,
10 that Palm Coast is requesting a 26.94% increase in
11 water rates?

12 **A** I'll take your word for that. There's no
13 calculation on Page 31.

14 **Q** Subject to check, you would agree with that?

15 **A** Yes.

16 **Q** Would you also agree, subject to check, that
17 for Hammock Dunes' bulk rate Palm Coast is requesting
18 a 45.89% increase from its current indexed rates?

19 **A** If that's what the dollars come out to, yes.
20 I haven't done a percentage.

21 **Q** Could you explain why this differs from the
22 Utility's response to Staff Interrogatory No. 50?

23 **A** On Page 31 of the MFR where it has operating
24 revenues, where you made the determination of the 26%
25 that is a total percentage increase for all charges

1 for metered service, and miscellaneous charges are
2 included in there, fire protection service charges are
3 included in there.

4 Miscellaneous charges were not requested to
5 be increased; therefore, the average increase that
6 would be tied to Page 31 is less than what would be --
7 show up for any particular line item with regard to
8 specific rates.

9 Another reason why there would be a
10 difference is that the design of the rate -- there was
11 a split in cost to be recovered between base facility
12 charges and gallons charges; and, therefore, when the
13 percentage is applied, that weighting will affect what
14 the total dollar increase will be for any particular
15 customer.

16 Q Did Palm Coast do an updated cost study
17 similar to the one conducted in Order No. 21606 to
18 determine the appropriate bulk service rate for
19 Hammock Dunes?

20 A No. It just, as we indicated, did an
21 across-the-board increase, which is in keeping with
22 the way, I believe, that price indexes have been
23 applied, when they have gone in for that.

24 Q If I could get you to refer to the second
25 exhibit in the stack. It's the letter dated May 21st,

1 1996, to Mr. Al Washington.

2 A I have it.

3 Q Would you agree these are the Utility's
4 responses to questions raised during the billing
5 audit?

6 A Yes.

7 Q Would you agree these are corrections to the
8 rate schedules of the MFRs which you are sponsoring?

9 (Pause)

10 A I don't see them as changes to the MFR.
11 They refer to the location of where charges are listed
12 in the MFR, not to any changes in the charges
13 themselves.

14 Q Would it be more correct to ask if these are
15 clarifications to the MFRs?

16 A Yes, that would be true.

17 Q And do you agree with these clarifications?

18 A Yes.

19 MS. REYES: Commissioner Deason, may we have
20 that identified as Exhibit No. 12, short title, letter
21 dated May 21st, 1996 to Mr. Al Washington?

22 COMMISSIONER DEASON: Yes. Exhibit 12.
23 Identified.

24 (Exhibit No. 12 marked for identification.)

25 Q (By Ms. Reyes) Mr. Seidman, isn't it true

1 that the Utility is requesting a year-end rate base
2 for both water and wastewater?

3 A Yes, it is.

4 Q And would you agree that whether a 13-month
5 average or a year-end test year is used, it should
6 consistently be applied to the both the water and
7 wastewater systems in a rate proceeding?

8 A Yes, I do.

9 Q Isn't it also true that Rule 25-30.433
10 requires a Class A utility to use a 13-month average
11 to calculate rate base unless the Utility demonstrates
12 unreasonable burden?

13 A I'm going from recollection, but I don't
14 believe that's how I interpreted that to read. I know
15 that the rule required the calculation of rate base on
16 a 13-month average, and I know that there is a
17 provision in the rate rule for deviating from anything
18 in the rule. But I don't know that there was any
19 specific tie between that general request for
20 deviation and the provision of -- in the presentation
21 of a rate case on a 13 month versus a year-end basis.

22 In other words, put another way, it requires
23 that we present the MFR on a 13-month average. It
24 doesn't require that we ask permission to also do it
25 on a year end basis. We can do that.

1 And it's been my understanding, and my
2 experience with the Commission, that if we ask for a
3 rate case to be evaluated on a year-end basis, that
4 it's up to us to prove that that's the proper way to
5 go.

6 **Q** Mr. Seidman, do you believe that it would be
7 an unreasonable burden on the Utility to implement a
8 13-month average?

9 **A** I'm not sure what you mean by "an
10 unreasonable burden." You mean is it going to cost
11 the Utility money in loss of revenues?

12 **Q** Hold on just a second. (Pause)

13 Isn't it true it would not have been
14 necessary to file for a year end rate base if the
15 Utility had filed a projected test year ended June
16 30th, 1996?

17 **MR. GATLIN:** Would you mind repeating that
18 question?

19 **MS. REYES:** Sure.

20 **Q** (By Ms. Reyes) The question is: Isn't it
21 true that it would not have been necessary to file for
22 a year end rate base if the Utility had filed a
23 projected test year ended June 30th, 1996?

24 **A** If we had filed for a test year ended June
25 30th, 1996 on an average basis? Is that what you

1 mean?

2 Q Yes.

3 A That would have incorporated the plant that
4 we're concerned about in this case, but it would have
5 required projecting another six months of expenses and
6 revenues and balance sheet items. We would have had a
7 100% projection at that point, because we were working
8 on it in mid-1995.

9 We felt it was better and the data would be
10 more reliable to use six months actual and six months
11 projected, rather than 12 months projected.

12 Q Could I get you to please refer to MFR
13 schedule D-1 and D-2.

14 A B, as in boy?

15 Q I'm sorry. I couldn't hear you.

16 A B, as in boy?

17 Q D, as in dog.

18 A Okay. Yes.

19 Q When reconciling a utility's capital
20 structure to its rate base, do you agree that it is
21 acceptable to make specific adjustments to the capital
22 structure components where possible, and then to
23 spread the remaining difference pro rata over all
24 sources?

25 A My understanding is that this Commission

1 uses a reconciled capital structure across the board
2 except for customer deposits, which can be
3 specifically identified with the utility customers.

4 Q Would you agree that it is acceptable to
5 include in the capital structure, then, the customer
6 deposits, ITCs and deferred taxes that are
7 specifically related to the requested rate base and
8 reconcile any remaining difference pro rata over the
9 investor sources of capital only after specific
10 adjustments?

11 A If they can be so identified.

12 COMMISSIONER KIESLING: I'm sorry. Was that
13 a yes?

14 WITNESS SEIDMAN: Yes, if they can be so
15 identified.

16 Q (By Ms. Reyes) I'm now going to be
17 referring to Order 22843 from Palm Coast's last rate
18 case, and in that case the Commission imputed ITCs
19 because Palm Coast failed to claim the ITCs on its tax
20 return related to certain additions that were
21 transferred from CWIP to plant in service.

22 As of December 31st, 1988, the Commission
23 imputed \$264,356 of ITCs, and \$83,272 of accumulated
24 amortization on those ITCs. Are you familiar with
25 this imputed ITC adjustment?

1 A Yes. I think I may have even addressed it
2 in either my testimony or the deposition.

3 Q Amortizing that imputed ITC adjustment
4 forward at 3%, as was done in that order, do you agree
5 that the December 31st, 1995, year end amount of that
6 imputation results in a net \$125,569?

7 A I believe that's covered in my rebuttal
8 testimony.

9 Q I'm sorry?

10 A That does sound like the number I had, but
11 I'd have to verify it.

12 Q If that's in your rebuttal, I can ask you in
13 rebuttal.

14 A That would be better.

15 Q I'd like now to talk about the parent debt
16 adjustment and income tax expense.

17 Is it true that ITT was reorganized in
18 November 30th, 1995?

19 A Yes.

20 Q And is it also true that the resulting three
21 companies were ITT, ITT Hartford, and ITT Industries?

22 A Yes.

23 Q Do you also agree that Palm Coast parent is
24 now ITT Industries?

25 A That's correct.

1 Q Do you also agree that Palm Coast has one
2 parent level only?

3 A That's correct.

4 Q And is it true that Palm Coast MFRs reflect
5 the use of ITT's capital structure for the calculation
6 of the parent debt adjustment for Palm Coast?

7 A Yes.

8 Q And do you believe that the use of ITT
9 Industries' capital structure for calculating the
10 parent debt adjustment of Palm Coast would be more
11 appropriate?

12 A Yes. That is the parent now.

13 Q If I could now get you to refer to the last
14 exhibit that was passed out. That consists of ITT
15 Industries, Incorporated Form 10-Q.

16 A Yes, I have it.

17 Q Would you agree that this is ITT Industries,
18 Incorporated's Form 10-Q?

19 A Yes, it is.

20 MS. REYES: Commissioner Deason, if we could
21 have that identified as Exhibit No. 13 and titled ITT
22 Industry, Incorporated's Form 10-Q.

23 COMMISSIONER DEASON: Yes, Exhibit 13.

24 (Exhibit No. 13 marked for identification.)

25 Q (By Ms. Reyes) Could we get as a late-filed

1 exhibit, using Exhibit 13 that was just identified and
2 Rule 25-14.004, the calculation of the parent debt
3 adjustment? We would like it if you could show your
4 calculations so they could be traced to the ITT
5 Industries' Form 10-Q.

6 **A** The 10-Q is for the first quarter of 1996,
7 and all it shows is three months ended March 31st,
8 1995 and 1996. I don't know that there's enough
9 information in this to do the calculation of the debt
10 expense that's going to be necessary to determine the
11 parent debt adjustment without also referring to the
12 1995 ITT Industries' report that was furnished as a
13 response to request for documents.

14 If that's all right with you, if it's
15 necessary, I'll refer to that and I'll reference it
16 and trace it.

17 **Q** Yeah. That would be fine.

18 **COMMISSIONER DEASON:** That will be
19 Late-filed Exhibit No. 14. Could I have a short title
20 please?

21 **MS. REYES:** Calculation of parent debt
22 adjustment.

23 (Exhibit No. 14 marked for identification.)

24 **MS. REYES:** Thank you, Mr. Seidman. I have
25 no further questions.

1 **COMMISSIONER DEASON:** Redirect?

2 **REDIRECT EXAMINATION**

3 **BY MR. GATLIN:**

4 **Q** Mr. Seidman, look at the MFRs on Page 12,
5 which is a schedule of plant in service by primary
6 account, test year, average balance. What is Column 2
7 that's numbered 2 up on the top?

8 **A** The 13-month average balance for the test
9 year.

10 **Q** And that was furnished in the MFRs?

11 **A** Yes, sir.

12 **Q** And what's the next column?

13 **A** The test year, year end.

14 **Q** All right. Year end balances?

15 **A** Yes, sir.

16 **Q** All right. Let me show you a copy. (Hands
17 document to witness). Is a that copy of the
18 application filed by Palm Coast Utility Corporation in
19 this case?

20 **A** Yes, it is.

21 **Q** What is the nature of Paragraph 12 of that
22 application, and are you familiar with it?

23 **A** Yes. It's a paragraph that gives our basis
24 for using a year end rate base.

25 **Q** And what was the basis for using year-end?

1 **A** That there were substantial and
2 extraordinary plant additions completed during 1995,
3 that there were \$7 million in addition --

4 **Q** I'm having trouble hearing you.

5 **A** That there was \$7 million in additions, but
6 there was a \$4.5 million difference between average
7 and year end balances of plant.

8 **Q** Is it still Palm Coast's position that the
9 year end test year should be used?

10 **A** Yes. We think it should be used not only
11 because of the large difference between the average
12 and the year-end plant additions, but also because
13 we've matched it up with year-end revenues and
14 expenses, and it give a much better basis for rates
15 going on into the future.

16 **Q** At the time the rates will be in effect?

17 **A** Yes, sir.

18 **Q** Thank you.

19 **MR. GATLIN:** I move exhibit -- excuse me.

20 **COMMISSIONER DEASON:** Yes. Exhibits?

21 **MR. GATLIN:** 6 and 7.

22 **COMMISSIONER DEASON:** Without objection -- I
23 believe 6 is already admitted.

24 **MR. GATLIN:** Okay.

25 **COMMISSIONER DEASON:** Without objection,

1 Exhibit 7 is admitted.

2 (Exhibit No. 7 received in evidence.)

3 **MR. REILLY:** Citizens would move Exhibits 8,
4 9 and 10, and I'm not sure we gave a short title to
5 Late-filed Exhibit 9. I would do so at this time by
6 just identifying as BellSouth lease
7 agreement-executed.

8 **COMMISSIONER DEASON:** First of all, is there
9 any objection to Exhibits 8 and 10?

10 **MR. GATLIN:** No objection.

11 (Exhibit Nos. 8 and 10 received in
12 evidence.)

13 **COMMISSIONER DEASON:** Exhibit 9 is a
14 late-filed, so we won't move it at this time. Further
15 exhibits?

16 **MS. REYES:** Staff moves 11, 12, 13 and 14.

17 **COMMISSIONER DEASON:** Likewise 14 is
18 late-filed 14. We won't move it at this time.
19 Without objection, Exhibits 11, 12 and 13 are
20 admitted.

21 (Exhibit Nos. 11, 12 and 13 received in
22 evidence.)

23 Thank you, Mr. Seidman. We'll take a
24 ten-minute recess at this point.

25 (Witness excused.)

1 (Brief recess taken.)

2 **COMMISSIONER DEASON:** Call the hearing back
3 to order. Mr. Gatlin, you can call your next witness.

4 **MR. GATLIN:** Call Mr. Guastella.

5 - - - - -

6 **JOHN F. GUASTELLA**

7 was called as a witness on behalf of Palm Coast
8 Utility and, having been duly sworn, testified as
9 follows:

10 **DIRECT EXAMINATION**

11 **BY MR. GATLIN:**

12 **Q** Would you please state your name and
13 address?

14 **A** John F. Guastella. Business address is 371,
15 Peapack, New Jersey.

16 **Q** And have you been sworn?

17 **A** Yes, I have.

18 **Q** Have you prepared testimony for presentation
19 today in the form of questions and answers?

20 **A** Yes.

21 **Q** If I were to ask you questions -- the
22 questions set forth therein, would your answers be the
23 same today?

24 **A** Yes.

25 **MR. GATLIN:** Mr. Chairman, we ask that this

1 testimony be inserted into the record as though read.

2 **COMMISSIONER DEASON:** Without objection, it
3 will be so inserted.

4 **Q** (By Mr. Gatlin) Mr. Guastella, you have two
5 exhibits, do you not?

6 **A** Yes, I do.

7 **Q** And they are described on Page 7 of your
8 testimony?

9 **A** Yes.

10 **Q** And the exhibits are Used and Useful
11 Analysis, Utility Plant in Service, JFG-1, and
12 Effluent Rate Study Cost Allocation, JFG-2. Is that
13 correct?

14 **A** Yes, it is.

15 **MR. GATLIN:** Mr. Chairman, may we have those
16 marked as Exhibit 15, maybe?

17 **COMMISSIONER DEASON:** Yes. They will be
18 identified as Composite Exhibit 15.

19 (Exhibit No. 15 marked for identification.)
20
21
22
23
24
25

1 Q. Please state your name and business address.

2 A. John F. Guastella, P.O. Box 371, Peapack, New Jersey.

3

4 Q. What is your occupation?

5 A. I am President of Guastella Associates, Inc. I am a licensed Professional Engineer,
6 and I have been actively engaged in matters involving utility valuations, management,
7 rates and service for thirty-three years. I formed Guastella Associates in 1978 to
8 provide consulting services, specializing in water and sewer utilities.

9

10 Q. Please state your educational background and professional experience.

11 A. I graduated from Stevens Institute of Technology in June of 1962, receiving a degree
12 in Mechanical Engineering. I have completed courses in utility regulation sponsored
13 by the National Association of Regulatory Utility Commissioners (NARUC) and
14 conducted by the University of South Florida, Florida Atlantic University, the
15 University of Utah and Florida State University.

16 I was employed by the New York State Public Service Commission for sixteen
17 years from 1962 to 1978. With the exception of two years in which I was involved
18 in the regulation of electric and gas utilities, my time with the New York Commission
19 was devoted to the regulation of water utilities. After a series of promotions during
20 the years 1962 to 1970, attained through competitive examinations, I was promoted
21 to Chief of Rates and Finance in the Commission's Water Division. In 1972 I was
22 made Assistant Director of the Water Division. In 1974 I was appointed by the
23 Chairman of the Commission as Director of the Water Division, a position I held until
24 my resignation from the Commission in August of 1978.

25 My duties with the Commission included the performance and supervision of

1 various engineering and economic studies concerning valuation of utility property,
2 financing rates and service of electric, gas and water utilities. While in the Water
3 Division, I either examined or supervised the examination of the books and records
4 of literally hundreds of water utilities.

5 As Director of the Water Division, I was responsible for the regulation of
6 more than 450 water companies in New York State, heading a professional staff
7 consisting of 32 engineers and three technicians. One of my primary duties was to
8 advise the Commission during its adjudication of formal proceedings, as well as other
9 matters. In the course of those deliberations, testimony, exhibits and briefs submitted
10 in formal proceedings were reviewed and analyzed. My duties and responsibilities
11 covered such subjects as the reasonableness of investments in utility plant, appropriate
12 depreciation, contributions in aid of construction, advances in aid of construction,
13 construction work in progress, working capital, amortizations, rate base, revenue
14 level, operation and maintenance expenses, taxes, cost of capital, fundable capital,
15 financing, capital structure, rate of return, rate design, rate structure, quality of
16 service, and in general, all aspects of utility valuation, rate setting and service.

17 Another major responsibility was the review of all proposed legislation
18 affecting water utilities in New York and the subsequent preparation of
19 recommendations for use by the governor or the legislature in considering such
20 legislation. I also made legislative proposals and participated directly in drafting bills
21 that were enacted: one expanded the New York Commission's jurisdiction with
22 respect to the regulation of the service provided by small water companies and
23 another dealt specifically with rate regulations and financing of developer-related
24 water systems. During my employment with the New York Commission, I handled
25 or supervised the handling of thousands of consumer complaints by individuals,

1 corporations and municipal, governmental and political officials.

2 Concurrently with my position as President of Guastella Associates, Inc., I
3 served as President of Country Knolls Water Works, Inc. from 1987 to 1991,
4 directing the management and operation of this utility which served some 5,000
5 customers.

6 I have prepared appraisals and valuations of utility property, depreciation
7 studies, rate analyses, cost allocation and rate design studies, and management and
8 financial analyses. I have provided consulting services for municipal and investor-
9 owned water and sewer utilities, as well as gas utilities and solid waste collection and
10 disposal companies.

11

12 Q. Before what regulatory agencies and municipal jurisdictions have you previously
13 presented expert testimony?

14 A. I have testified as an expert witness in the states of Connecticut, Florida, Illinois,
15 Massachusetts, Nevada, New Jersey, New York, North Dakota, Ohio, Pennsylvania,
16 Rhode Island, Texas and Virginia.

17

18 Q. Briefly state your activities in connection with professional organizations and
19 associations.

20 A. I served as Vice-Chairman of the Staff-Committee on Water of the National
21 Association of Regulatory Utility Commissioners (NARUC). While on that
22 committee, I prepared a 95 page instruction manual entitled, "Model Record-Keeping
23 Manual for Small Water Companies," which was published by the NARUC. The
24 manual describes in detail the kinds of operating and accounting records that should
25 be kept by small water utilities, with instructions on how to use those records in order

1 to properly operate a water system and properly keep account of the cost of providing
2 service.

3 Since 1974 I have prepared the rate case study material, assisted in the
4 coordination of the program and served as an instructor at the Annual Fall Seminar
5 on Water Rate Regulation sponsored by the NARUC and conducted by the University
6 of South Florida, Florida Atlantic University, University of Utah, and currently
7 Florida State University. This seminar is recognized as being one of the best in the
8 country for teaching rate-setting principles and methodology. It is attended by
9 representatives of regulatory agencies, utilities, engineering, accounting, economic
10 and law firms throughout the country. In 1980, as a special consultant to NARUC,
11 I assisted in the establishment of another similar seminar which has been held annually
12 in the spring in the western United States.

13 I served as an instructor and panelist in a seminar on water and sewer utility
14 regulation conducted by the Independent Water and Sewer Companies of Texas. As
15 a member of the National Association of Water Companies (NAWC), I serve on its
16 Rates and Revenue Committee and Small Company Committee. I am a member of
17 the American Water Works Association and served on its Water Rates Committee,
18 and assisted in the preparation of the AWWA Rates Manual, Third Edition. I have
19 also served on a joint committee on rate design composed of staff members of
20 NARUC and NAWC. In connection with my serving on these committees, and in
21 connection with cost allocation and rate design studies I have performed in the course
22 of my work, I have participated in decisional meetings to determine proper
23 engineering and construction criteria in relation to costs in the design of water and
24 sewer systems.

25 I have prepared and presented papers at a number of meetings of the National

1 Association of Water Companies, the National Association of Regulatory Utility
2 Commissioners, the New England Conference of Public Utilities Commissioners, and
3 at meetings of the Mid-America Regulatory Conference, the Public Utility Law
4 Section of the New Jersey Bar Association, the Pennsylvania Environmental Council,
5 the Southeastern Association of Regulatory Utility Commissioners, and the New
6 Jersey Chapter of the American Water Works Association.

7

8 Q. What is the nature of your involvement in this rate case?

9 A. My firm has been engaged by Palm Coast Utility Corporation ("PCUC" or
10 "Company") to prepare used and useful analyses of its water and sewer systems and
11 to perform a cost allocation study in order to establish a rate for the sale of effluent
12 reuse for irrigation purposes. We have also coordinated our efforts with those of Mr.
13 Frank Seidman, the Company's consultant who is responsible for other revenue
14 requirement and rate matters, and assisted in the preparation of the MFRs.

15

16 Q. What is the scope of work you performed in connection with these studies?

17 A. Together with Mr. Seidman and in cooperation with the Company's employees, I
18 have examined PCUC's books and records, financial and operating data, and I have
19 inspected the physical plant and facilities of both the water and sewer systems. I
20 would note that the Company is not subject to any consent order and, in my opinion,
21 is providing safe and adequate service.

22

23 Q. Have you prepared or supervised the preparation of any exhibits?

24 A. Yes. I prepared a used and useful analysis, Exhibit ____ (JFG-1) and a cost allocation
25 study to determine a rate for the sale of effluent reuse water, Exhibit ____ (JFG-2).

1 Q. Would you please describe the used and useful analysis?

2 A. The used and useful analysis contains a narrative section and a section setting forth
3 various tables and computations which determine the percentage of utility property
4 to be considered used and useful and includable in rate base and, conversely, the non-
5 used and useful percentage to be excluded from rate base for rate-setting purposes.
6 The narrative section explains the methodology used to determine the amount of used
7 and useful property, and also explains the basis for the calculations set forth in the
8 various tables.

9

10 Q. Would you please explain what you mean by "used and useful?"

11 A. The term "used and useful" is simply a regulatory rate-setting term which describes
12 the cost of property which is included in a utility's rate base (net investment) upon
13 which the utility is entitled to earn a rate of return. The balance of the cost of
14 property which is excluded from rate base is referred to as "non-used" plant.

15 The reason for performing this type of allocation study is to have existing
16 customers pay rates based on the cost of plant necessary to provide safe and adequate
17 service to them on a reasonably continuous basis and, therefore, preclude any
18 subsidization of future customers by existing customers.

19

20 Q. Is there a prescribed method for performing used and useful analyses?

21 A. No. Such analyses require many allocations as to different kinds of utility property
22 and facilities. Those allocations must be based on judgement of such factors as
23 equipment design and utilization, system demands and characteristics, and the
24 interrelationship of each kind of equipment or facility within a system. No two utility
25 systems are alike in design, utilization and system characteristics. Moreover, utility

1 systems are constantly changing with respect to plant and function as customer
2 demand and system characteristics change, as new equipment becomes available and
3 as regulatory requirements and standards change.

4

5 Q. What procedures did you undertake to understand the Company's operations in
6 connection with the preparation of the used and useful analysis?

7 A. I made a physical inspection of the system with Company operators and engineers in
8 order to identify the plant and equipment which is being utilized to provide service.
9 I examined operational data as to system capacities, system demands, customer
10 growth and various other statistical data. Books and records were examined in order
11 to establish the cost of plant as categorized by primary plant account. Meetings were
12 held with Company accountants, engineers and operators in order to establish
13 appropriate allocation factors and to review each phase of the used and useful
14 analysis.

15

16 Q. Did you summarize the results of your used and useful analysis?

17 A. Yes. Table A-1 of the used and useful exhibit is a summary showing the primary plant
18 accounts for the water system and respective non-used and useful percentages. Table
19 I-1 is a summary of the used and useful percentages for the sewer system. These
20 percentages were then applied to the pro forma plant balances which include projected
21 1995 year-end figures.

22

23 Q. Did you prepare the used and useful analysis in the Company's last two cases?

24 A. Yes.

25

1 Q. Is the study you prepared for this case similar?

2 A. Yes. As I indicate in the narrative of the used and useful study, this study
3 incorporates most of the findings of the FPSC in the last rate case as set forth in Order
4 No. 22843. I have repeated the methodology for those used and useful allocations
5 accepted by the FPSC, and made adjustments to my previous methodology in some
6 instances to conform to the FPSC findings in order to avoid unnecessary controversy.
7 I have also incorporated calculations to recognize prudence and economies of scale
8 considerations under discussion in the FPSC workshop on the establishment of rules
9 as to used and useful.

10

11 Q. Would you briefly summarize those items in the used and useful study, which were
12 accepted by the FPSC in the last case?

13 A. In the last case, the FPSC accepted the Company's overall methodology of calculating
14 used and useful adjustments. For both water and sewer systems, the FPSC adopted
15 the allowance of margin reserve, recognizing that utilities cannot reasonably assume
16 safe and adequate service if they do not have margin reserve capacity beyond the
17 capacity needed for immediate demands. In order to provide such service, they must
18 construct systems with margin reserve capacity, and they must pay for that capacity.
19 The FPSC also recognized that the need for margin reserve capacity is current -- to
20 meet changing demands of existing customers as well as growth -- and the cost of that
21 capacity is current. Accordingly, the FPSC found that the allowance for margin
22 reserve is essential.

23 The water treatment plant and storage facilities are separately treated,
24 consistent with the FPSC decision, with the used and useful percentage for the
25 treatment plant based on the maximum day plus fire demands, and the used and useful

1 percentage for the storage facilities based on equalization plus fire demands. The fire
2 demands are based on 2,000 GPM for five hours, as accepted by the FPSC in the last
3 case. The treatment capacity is also adjusted by 13.3% of rated capacity to allow for
4 plant uses. Although this level is less than the actual level of plant uses for chemical
5 processing and filter backwashing (14.2% of average filtered water), it is more than
6 the 10% allowed by the FPSC in the last case, because the actual data consistently
7 supports a level greater than 10%.

8 The FPSC accepted the Company's allocation of transmission and distribution
9 mains to used and useful on the basis of the ratio of ERCs, adjusted for margin
10 reserve, to total lots capable of being served, recognizing that the transmission mains
11 are not installed to serve the entire service area. The water mains are also adjusted
12 to recognize that, in addition to the size and distance necessary to meet the demands
13 of customer usage, mains must have sufficient capacity for fire flows.

14 With respect to the gravity and PEP portions of the sewer collection system,
15 the FPSC accepted the density analysis based on the ratio of ERCs to total lots, as
16 well as the detailed analysis of the force mains. The lift stations were analyzed
17 individually as to flows and capacity; the method was accepted by the FPSC.

18 The used and useful percentage of services for both water and sewer are based
19 on the ratio of ERCs to total services. The used and useful percentage for hydrants
20 is based on the ratio of used hydrants to total hydrants.

21
22 Q. With respect to the margin reserve and the issue of imputation of CIAC, does it make
23 a difference if one source of funding of utility plant is from "pre-paid" CIAC?

24 A. No. The real estate arrangements between a developer and potential utility customers
25 to prepay service availability charges should not impact used and useful calculations.

1 While CIAC is deducted from rate base in full when a potential customer actually
2 connects to the system, it should not be deducted before there is a connected
3 customer who is paying rates for service. The level of prepaid CIAC related to future
4 customers is not related to margin reserve. Instead, it is simply a provision which
5 enabled the affiliated developer to offset part of the carrying costs associated with the
6 formation of a new utility. Indeed, the FPSC has recognized that carrying costs
7 associated with the cost of utility plant for future customers (beyond the "margin
8 reserve" plant) should be borne by future customers. Thus, the FPSC established the
9 AFPI charge (allowance for funds prudently invested) which recovers the carrying
10 costs of future use ("non-used and useful") plant. While prepaid CIAC should
11 properly be considered as an offset in calculating AFPI charges, it is not proper to use
12 prepaid CIAC as an offset to margin reserve or any other component in a used and
13 useful calculation.

14 As discussed in the FPSC workshop on used and useful rules, water and sewer
15 utilities should be encouraged to construct prudently-sized systems capable of
16 providing safe and adequate service on a continuous basis to all customers and
17 whenever those customers connect. The imputation of CIAC, whether or not prepaid
18 CIAC exists, would reduce used and useful plant related to margin reserve, and give
19 utilities an improper signal. Utilities would be in better financial condition to install
20 more costly, smaller facilities that will be 100% used and useful without margin
21 reserve allowances, thereby avoiding the imputation of CIAC. Ultimately, however,
22 the rates for all customers would be higher.

23
24 Q. Would you please describe Exhibit ____ (JFG-2) which sets forth the cost allocation
25 and effluent reuse rate study?

1 A. This exhibit contains an allocation of PCUC's proposed revenue requirement
2 components. It includes various tables, as well as a narrative, which describe the
3 allocations and the resultant effluent reuse rate.

4

5 Q. What effluent reuse rate was produced by your study?

6 A. My study produced an effluent reuse rate of \$0.67 per 1,000 gallons, reflecting costs
7 associated with the Company's 1.0 MGD RIB and 6 million gallons effluent storage
8 tank. These facilities are necessary to meet wet weather effluent flow and furnish
9 effluent reuse water for irrigation of public access areas.

10

11 Q. What amount of revenues would be generated under the application of the effluent
12 reuse rate?

13 A. At this time the Company anticipates that DCDD will take an average of 800,000
14 gallons per day of effluent reuse water, which would produce \$195,640 of additional
15 annual revenues.

16

17 Q. Does this complete your testimony at this time?

18 A. Yes.

19

20

21

1 **MR. GATLIN:** The witness is available for
2 questions.

3 **COMMISSIONER DEASON:** County?

4 **CROSS EXAMINATION**

5 **BY MR. SIRKIN:**

6 **Q** Good afternoon, Mr. Guastella. If no one
7 minds, I will call you John. Because I'm so used to
8 using that name, I may forget. Good afternoon, John.

9 **A** Good afternoon.

10 **Q** Is the Dunes 600,000-gallon-a-day effluent
11 requirement a take-or-pay requirement?

12 **A** No.

13 **Q** Is there a penalty for not taking?

14 **A** No.

15 **Q** Your 800,000 gallons per day of Dunes
16 effluent that you used in your testimony is based on
17 PCUC's forecast?

18 **A** That's correct.

19 **Q** When was that forecast made?

20 **A** During 1995, when we were preparing the
21 case.

22 **Q** So roughly you have what; six months of
23 forecast, six months of actual deliveries?

24 **A** I believe that's approximately correct, yes.

25 **Q** And I believe the actual amount delivered in

1 the test year was a million roughly, a million
2 gallons?

3 A I believe that's correct.

4 Q Is this degree of accuracy of forecasting
5 normal; you're off by 25% in six months?

6 A I don't believe there is any normal for --
7 that I'm aware of for effluent reuse. I could
8 probably give you normals if we were dealing with
9 water consumption and studies, but the effluent reuse
10 seems to fluctuate.

11 Q You mention that the salaries associated
12 with effluent reuse were determined by reports
13 provided by the company; is that correct?

14 A The salaries related to certain effluent
15 reuse facilities were provided by the company based on
16 employee reports; that's correct.

17 Q Do you know what the reports are, what they
18 contain?

19 A I believe the reports contain time records
20 of certain employees.

21 Q They're actual time sheets where specific
22 tasks are listed?

23 A I believe that's correct.

24 Q You estimated that roughly 85% of
25 residential water sold is returned as wastewater.

1 Where did that estimate come from?

2 A That was based on judgment and figures that
3 have been used in the industry based on my experience.

4 Q Is that based on your experience here in
5 Florida, or general experience?

6 A Both.

7 Q Because we had some residential witnesses
8 earlier this morning who were talking about a much,
9 much larger percentage which would not show up in the
10 wastewater that was used for irrigation. Did you take
11 that into account?

12 A The figures which I used are related
13 strictly to sewer -- water consumption figures, which
14 has a limit on it of 8,000 gallons per month. I
15 believe the irrigation water that customers were
16 talking about may have related to their water
17 consumption for which there is no limit.

18 Q I don't understand the answer, so let me ask
19 another series of questions. What does the 85%
20 residential sewage use of water sold mean? Can you
21 take me through that?

22 A Yes. The 85% is a percentage applied to the
23 gallons of water for which sewer customers were
24 billed. Sewer customers are billed on the basis of
25 their water consumption up to 8,000 gallons; not in

1 excess of 8,000 gallons.

2 Q Thank you. It is your belief, I believe,
3 that elevated tanks should never be drained down to
4 less than 10% of their capacity; is that right?

5 A That's correct, under normal operations.

6 Q Is this based on some analysis of elevated
7 storage tanks?

8 A No. I didn't perform any special analysis
9 of the tanks.

10 Q So what is it based on?

11 A It's based on my discussion with operators
12 here and in other utilities. They simply don't drain
13 their tanks down to the ground, and they certainly
14 don't design them to be utilized for that purpose.

15 Q Can they be designed to be utilized that
16 way?

17 A If they can be designed to be operated
18 improperly, they can. I don't think -- I'm not aware
19 of anyone who would design an elevated tank so that
20 during the normal course of operation the tank would
21 empty completely.

22 Q But don't you need the maximum capacity only
23 during some abnormal conditions, such as a fire where
24 the demand is very high?

25 A When you refer to maximum capacity, you -- a

1 utility incurs maximum demands on the system without
2 fire demands. Your storage facilities are going to be
3 dealing with maximum capacity and equalization during
4 maximum days, and then also be able to handle fire
5 flow requirements. And it's true that a fire may
6 occur infrequently, but you need to be prepared to
7 meet that fire demand if and when it occurs.

8 Q So isn't it likely on a maximum day that you
9 might bring the level below 10%? I assume the maximum
10 day is an unusual day?

11 A I don't think you would design your
12 facilities for that purpose. I think you would design
13 your facilities so that you at least retain at least
14 10% in your storage tanks while you experience a
15 maximum day plus a fire demand.

16 Q And that's based on your belief?

17 A Yes, of course.

18 Q You talk about the elasticity of water,
19 water use, and you say, I believe, that water isn't
20 price elastic. Is that your belief?

21 A Yes. I might -- yes. I believe I do say
22 that in my rebuttal testimony.

23 Q As a matter of fact, you say it in your
24 deposition. I'm not sure if the deposition covers the
25 direct or the rebuttal. I'll leave it up to your

1 attorneys to object if I'm asking the question at the
2 wrong time.

3 Do you still believe that water is not price
4 elastic?

5 A In the strict definition of the term "price
6 elastic," water is not price elastic.

7 Q What's the strict definition?

8 A If the percentage change in consumption --
9 the relationship of the percentage change in
10 consumption with the percentage change in rate. If
11 it's greater than one, then it's considered price
12 elastic. If it's less than one, it's not considered
13 price elastic.

14 Q So you don't believe a 30, 40% increase in
15 rates will cause a decrease in consumption in water
16 use?

17 A No, I didn't say that. There may be some
18 adjustment to water use based on change in price, but
19 it's not because water is considered price elastic.
20 There is some adjustment for reduction in consumption
21 due to price, I believe, but the change is much
22 smaller than what would be considered price elastic.

23 Q So it's mini price elastic?

24 A I'm sorry?

25 Q I say it's mini price elastic.

1 A I suppose you just coined a phrase.

2 Q So your used and useful analysis does not
3 take into account when you gross it up for reserve,
4 margin reserve and for your 20% economy of scale
5 factor, does not take into account any elasticity, or
6 any adjustment in the usage?

7 A No, it would not, even if we were dealing
8 with price elasticity. My used and useful analyses
9 are primarily based on maximum demands, and I believe
10 during periods when customers use larger quantities of
11 water causing maximum demands, I don't think those are
12 the times when they're conserving water. I think it's
13 during the rest of the time they're able to conserve
14 water on an average basis.

15 So if we're dealing with price elasticity,
16 water is not price elastic in terms of the definition
17 of price elasticity, and even though there is some
18 reduction in consumption, or there may be some
19 reduction in consumption due to changes in price,
20 that's going to happen over an average period.

21 I don't believe it's going to happen over
22 the maximum day period to any significant extent to
23 warrant an adjustment to the used and useful
24 calculations.

25 Q John, that's based just on your belief?

1 Have you seen any studies you could cite where this
2 has been looked at and some reasonable analysis made
3 based on hard data?

4 A I believe there has been some information as
5 to reductions in consumption based on my experience
6 with different utilities I've worked for, but not
7 necessarily reductions in maximum day demands. I've
8 seen conservation take place without changes in
9 maximum day demands or the utilities.

10 Q Have you also seen reductions in maximum day
11 demand resulting from alternate -- or adjustments in
12 use?

13 A It's difficult to attribute the differences
14 in maximum day demand to identify what portion of the
15 maximum day has changed in relation to rates, what
16 portion is changing in relation to weather and
17 customer growth. So I don't recall a study where I
18 can give you a specific answer that the change in the
19 maximum day was due to the change in rates.

20 In my opinion, any impact on the maximum day
21 because of change in rates would be minimum. The
22 other factors would more impact the maximum day.

23 Q So it's your belief; right?

24 A Yes. You realize my belief is based on my
25 experience.

1 Q We'll talk about that. Let's look at
2 flushing for a minute. What is your experience with
3 flushing? Line flushing that is. (Laughter) I'm
4 sure you have all sorts of flushing experience.

5 A I'll try to tell you everything I know about
6 flushing.

7 Q Please.

8 A All water utilities I've been involved with
9 do perform some type of flushing eventually, and it's
10 going to change depending on the system. And I don't
11 really know if any one system -- I don't know of any
12 system that's alike in that respect.

13 It's going to depend on the age of the
14 system, the type of pipe, the characteristics, the
15 geographic characteristics of the system. And I
16 haven't done any studies, and I'm not aware of any
17 studies that have converted to a formula, a level of
18 flushing that's appropriate for any utility, or even
19 try to attempt to establish an average utility.

20 Q John, you've had lots of experience
21 testifying before commissions, working as staff in New
22 York and even running your own water company. Have
23 you ever run into a water company that's well run and
24 well managed and well designed that flushes in the 20%
25 to 25% area?

1 **A** I've never measured the flushing in relation
2 to total water sales in all the years that I have been
3 involved in water utilities. Just -- if flushing is
4 needed to maintain quality of service, then that's
5 indeed what takes place. Flushing is essential.

6 **Q** Why does this utility flush at that rate?

7 **A** I believe the flushing at Palm Coast is for
8 two basic reasons. One is the configuration of the
9 system. A large part of the flushing that you see at
10 Palm Coast has to do with a beach-side community.
11 That is across east of the intercoastal waterway. And
12 in order to maintain quality of service, significant
13 amounts of flushing are necessary for that portion of
14 the system.

15 The other part of the system is it's an
16 extensive system which requires flushing. It's a
17 growing system, and you'd expect with a growing system
18 that has the extent of mains that this utility has
19 that you're going to have flushing involved with it.

20 I don't view the flushing to be excessive
21 for this utility in relation to the overall cost of
22 providing service, if that's where this -- the intent
23 of your question is heading; because the system has
24 been installed at historical costs which are much less
25 than they otherwise would have been if it was

1 installed gradually over time.

2 And I think the relatively insignificant
3 costs associated with flushing still provide the
4 customers with the benefit of the overall lower
5 embedded cost of the distribution system for this
6 company.

7 Q Is the distribution system 100% used at this
8 point in time?

9 A No. I've made adjustments for used and
10 useful with respect to the transmission distribution
11 system.

12 Q But you've made no calculation to see what
13 it cost this company to flush the nonused and useful
14 portions? It's based on your belief?

15 A I have made no calculations to determine the
16 costs. It's relatively small costs we're dealing
17 with. There may be some power and chemicals. But I
18 have made rough estimates of what this system would
19 have cost.

20 I think the system, distribution system,
21 probably would have cost at least three times more
22 than it did cost. So I think given the choice, the
23 customers were better off with the Utility's
24 transmission distribution system having been installed
25 and having some flushing costs, which are really not

1 that significant in relation -- in overall dollar
2 amounts when you consider that a large portion of the
3 flushing is necessary for the beach side, which is not
4 part of the Palm Coast system.

5 Q If a quarter of the water treated and
6 produced is flushed, you don't think that creates a
7 significant charge?

8 A No; in relation to what the costs would
9 otherwise have been.

10 Q That's not the question. The question is
11 does it create a significant charge?

12 A I don't believe so, no.

13 Q But you've done no studies to indicate that?

14 A Well, we know that we're dealing with power
15 and chemicals, and we know that of the -- and I don't
16 know if we're dealing with a quarter, I thought the
17 figure was more like 18% or so, in that area -- but if
18 we're dealing with a portion of the flushing that's on
19 the beach side, it takes up, I would think, about a
20 third or more of that amount. So the balance is -- I
21 don't think it's out of line for a system of this
22 configuration at all.

23 Q As I understand it, we have a system that
24 was designed to service approximately 225,000 people,
25 and it's only serving 25,000; is that correct?

1 A I never looked at the system in terms of
2 population. I've looked at it in terms of customers.

3 Q What is it in terms of customers?

4 A Approximately 46,000 customers, the water
5 system; and serving approximately 12,000 customers, I
6 believe.

7 Q So it's serving about one-quarter of the
8 capacity of the system?

9 A I don't know. It may vary off of that,
10 because some of the customers are not residential
11 customers; and I was talking about strictly numbers of
12 customers, not commercial, multifamily and residential
13 differences.

14 Q Do you know what criteria the company uses
15 for flushing? When does it flush?

16 A I couldn't tell you the specific criteria.
17 I believe they have a routine flushing program where
18 they undertake periodic flushing of different sections
19 of the system. I couldn't give you any more detail
20 than that.

21 Q Why doesn't PCUC have a need for AFPI?

22 A I haven't done any calculations as to what
23 level of AFPI would be appropriate, if any, for Palm
24 Coast.

25 Q What does AFPI do?

1 **A** AFPI is an allowance for funds prudently
2 invested. It's a service availability charge that
3 charges future customers the carrying costs associated
4 with nonused and useful plant.

5 **Q** Why wouldn't that be appropriate for this
6 utility?

7 **A** I didn't say it wouldn't be appropriate. I
8 haven't done any calculations with respect to AFPI. I
9 do know the company has prepaid CIAC, which would be
10 an offset to the carrying costs that would be charged
11 through AFPI, but I haven't done any calculations to
12 see whether, despite the offset, there would still be
13 a feed for an AFPI charge. I just haven't done any
14 calculations regarding that.

15 **Q** In your deposition testimony -- and I'm not
16 sure if this relates to your direct or your rebuttal,
17 so we'll depend upon your attorneys to keep it
18 straight here -- you talk about a peaking factor. And
19 you say in the last rate case it was two, and now you
20 believe it's three and a half to four times at the
21 lift stations and you used a factor of 3; is that
22 right?

23 **A** Yes.

24 **Q** Why do you use a factor of 3?

25 **A** Information provided to me by the company in

1 this case demonstrated that the peaking factor of 2
2 used in the last case was not adequate and not
3 representative of what the actual peaking factors are.
4 And there are tables which indicate at different flows
5 what peaking factors would be expected. And we've
6 submitted copies of those charts identifying the range
7 of flows of the lift stations at PCUC showing that the
8 peaking factor would exceed 3.

9 We also, as a late-filed exhibit resulting
10 from the deposition, provided an analysis of two of
11 the largest lift stations showing that the peaking
12 factor is, in fact, 3.

13 And since those are the largest lift
14 stations, the smaller lift stations are expected to
15 have an even greater peaking factor.

16 Q As one of the hazards of being a late entry
17 is we've missed a few of the documents.

18 Are the current ratepayers of PCUC
19 benefiting from the economies of scale?

20 A Yes; and I believe they will continue to
21 benefit from --

22 Q How are they benefiting?

23 A The cost of facilities are installed in
24 larger increments, so that the overall cost of the
25 facilities are cheaper than they would be if they were

1 installed at, say, 10% of their capacity more often.

2 Q Well, the current ratepayers now are paying
3 for plant that they are not -- that is not needed now;
4 is that correct?

5 A No, it's not --

6 Q They're paying -- sorry.

7 A It's not correct.

8 Q If you have your 20% economy of scale
9 factor, they are not paying more now for plant than
10 they would if you didn't include the 20% economy of
11 scale factor?

12 A They are -- the used and useful calculation
13 that we're including now includes an adjustment for
14 economies of scale, so that in the long run the
15 customers will be paying for plants which cost less
16 than if smaller plants were constructed.

17 The Utility has already constructed plants
18 that were economically sized for which the customers
19 are getting the benefit; for example, Wastewater
20 Treatment Plant 1 and the original wastewater
21 treatment plant.

22 Those plants were not constructed in
23 increments at one-sixth or one-tenth the size that it
24 was constructed. So there now exists facilities at
25 the system that these customers have been paying for

1 all along that reflect economies of scale, and there
2 will be in the future; and that's what the adjustment
3 for economies of scale includes now.

4 Q But right now ratepayers are paying more --
5 will pay more if the Commission allows your 20%
6 economies of scale than if it wasn't allowed. It
7 costs current ratepayers more.

8 A The used and useful adjustments I'm
9 proposing will include more dollars of investment in
10 rate base than without the adjustment, and that will
11 result in rates that are higher than what they would
12 otherwise be.

13 However, your question was, are the current
14 customers benefiting from economies of scale. They're
15 already benefiting from economies of scale because of
16 the facilities that have been installed by the Utility
17 over the years.

18 Q But from this point out, you are suggesting
19 that 20% more be added to rate base, to the plant in
20 service and rate base, and that results in a current
21 charge that is more than if it were not included.

22 A That's correct. And by doing that, the
23 rates to the customers in the long run will be lower
24 than they would otherwise be.

25 Q But isn't it the future ratepayers who are

1 benefiting from those economies of scale, starting at
2 this instance in time forward?

3 **A** Well, I look at future customers being
4 people who are here now will still be here in the
5 future. So as a utility is designed to serve future
6 customers, I'm anticipating that existing customers
7 will be here in the future along with new customers
8 who are added. And all customers will benefit with a
9 more economically sized and constructed utility
10 system.

11 **Q** Don't you say in your testimony that used
12 and useful is to prevent subsidization of future
13 customers by present customers?

14 **A** Yes.

15 **Q** And now you have future customers paying
16 more to make it less expensive -- current customers
17 paying more to have future customers pay less?

18 **A** In a sense that's correct, but future
19 customers include existing customers. The alternative
20 is to have all customers pay more in the future with
21 uneconomically sized and constructed utility
22 facilities.

23 **Q** Are all present customers going to be future
24 customers?

25 **A** I don't believe they all will. We hope they

1 all will, but I don't believe they all will.

2 Q Now, you talked about the CIAC, the CIAC
3 used and useful workshop where the 80% economy of
4 scale -- what do you call this factor? The 80%
5 economy of scale? 20% economy of scale? What shall
6 we call this device you're using?

7 A Economy of scale?

8 Q Yeah.

9 A You could call it an economy of scale
10 factor.

11 Q Okay. The economy of scale factor --

12 A And it's a used and useful workshop. That
13 also addressed CIAC in it.

14 Q And you said you mentioned this at the
15 workshop and that there wasn't any -- the fact that it
16 costs about the same to build a plant that's only at
17 80% of capacity versus one at 100%?

18 A That's correct.

19 Q And you don't recall anybody saying it
20 wasn't correct?

21 A That's correct.

22 Q Who was there?

23 A A number of members from Staff, a number of
24 members from the industry. The Florida Waterworks
25 Association was represented. I believe there was

1 someone from Public Counsel in attendance. I believe
2 there were people from the Department of Environmental
3 Protection in attendance, and I don't recall whether
4 or not there were people from water management
5 districts or not. There were quite a few people
6 there.

7 Q So you're saying there were people at that
8 meeting representing the public other than Staff?

9 A In terms of regulatory agencies, that's
10 correct.

11 Q I'm sorry. Could you read that back? I was
12 not paying attention.

13 A In terms of regulatory agencies, that's
14 correct.

15 Q Well, was there any general members of the
16 public there, let alone regulatory agencies?

17 A I don't know of any individual customers who
18 were there.

19 Q Or engineering supply companies or water
20 consultants?

21 A There were water consultants there.

22 Q Representing industry, or in a nonindustry
23 capacity?

24 A I don't -- I was there.

25 Q Representing industry. (Laughter)

1 Was there any notes taken? Are there any
2 minutes or is there any documentation of this
3 conference?

4 A Yes. I believe there was some follow-up
5 correspondence that Mr. Schiefelbein submitted. There
6 were notes taken. And as a matter of fact, there was
7 a revised set of proposed rules put together as a
8 result of that meeting that was submitted to the
9 Public Service Commission.

10 Q Does it have your economy of scale factor in
11 it?

12 A Yes, it does.

13 Q And I believe what you said -- and I'm not
14 sure this is -- I believe this is an exact quote, that
15 it's usually true that it probably wouldn't be
16 significantly different. There are three qualifiers
17 in there. Is that what you said?

18 A Are you reading from my deposition?

19 Q Yes.

20 A If you're reading from it, I agree that's
21 what I said.

22 Q Page 109, Lines 11 through 23. Quite often
23 my depositions don't have what I thought I said. Is
24 that what you mean?

25 A Yes.

1 Q Okay. There are three qualifiers in there.
2 Have you ever seen any engineering studies. Are you
3 aware of any engineering services which would allow
4 you to calculate the cost of an 80% versus 100%
5 capacity plant?

6 A Yes. I've seen studies for various
7 components of utility facilities, such as wells, pumps
8 storage facilities, all of which showed that the
9 difference constructing a facility at one level of
10 capacity compared to 80% of its capacity was
11 relatively minor, particularly when compared to the
12 increase in capacity that you could get for a
13 relatively minor difference in cost.

14 Q But you didn't present any of that evidence,
15 any of those studies; this is just based our belief
16 it's usually true it probably wouldn't be significant?

17 A I didn't present it where; at the workshop?

18 Q Yes.

19 A I think everyone knew what I was saying was
20 exactly correct. I think that's why we had a
21 consensus that it was correct. I think they've
22 probably seen, on their own, similar examples.

23 Q And you knew they were all paying attention
24 and knew what you were saying? You know that?

25 A Well, I don't know if they were all paying

1 attention and they all knew, but they certainly seemed
2 to be have been paying attention, and they certainly
3 were involved in the discussion; and they certainly
4 seemed to express an interest in conducting a
5 workshop. So my assumption is they were all paying
6 attention.

7 Q But it's based all on the belief there were
8 no engineering studies presented there?

9 A As I indicated before, I think some things
10 don't require the presentation of engineering studies;
11 and I think this is obvious enough to many of them
12 where you didn't have to give them an engineering
13 study for them to understand what you were saying, and
14 for them, based on simply their own experience, to
15 know that that's correct.

16 Q How much is likely not much lower? How much
17 lower is likely? You said it's likely not much lower.
18 What's --

19 A I gave it a range of 10 to 20%.

20 Q Okay. What do you call this factor? Is
21 it -- you figure it's a provable number? Is it a
22 guesstimate? What do you consider this 80/20 -- this
23 80% versus the 100%, rather? What would you call it?
24 Is it a provable number? Is it a guesstimate?

25 A It's a provable number for many components,

1 and I suppose you could take different components of a
2 utility system -- (Power outage in hearing room.)

3 In fact, I've done that. It ranges between
4 10 and 20%.

5 **COMMISSIONER DEASON:** Okay. We're going to
6 go back onto the record. We'll proceed with the cross
7 examination.

8 Q (By Mr. Sirkin) John, does the up-front
9 charges to Dunes for their 100,000 gallon increments
10 include your economy of scale or your reserve capacity
11 that all the other companies are being asked by the
12 company to pay?

13 A I'm not familiar with how the charge to
14 Dunes for the capacity payments were calculated. I
15 haven't looked at that at all.

16 My calculations are part of a used and
17 useful calculation, which is part of -- which becomes,
18 then, base rates for service.

19 I don't think the same calculations would be
20 applicable to calculating capacity connection fees in
21 terms of service availability charges as for the base
22 rates and service. I think they are different
23 calculations. But not having looked at the specific
24 calculation for the capacity payments paid by Dunes, I
25 couldn't tell you how they were calculated.

1 Q So you don't know?

2 A I don't know.

3 Q But they are -- well, if you don't know, you
4 still don't know.

5 You looked at the growth of the utility in
6 your used and useful calculation; is that correct?

7 A In calculating a margin reserve, yes.

8 Q What did you conclude as a result of your
9 examination of customer growth? How is this utility
10 growing?

11 A My margin reserve calculations are set forth
12 in JFG-1, Table H for water.

13 MR. GATLIN: What was the page number?

14 COMMISSIONER DEASON: There's been a request
15 for the page number.

16 WITNESS GUASTELLA: I don't have a page
17 number on my copy. Excuse me. I'll find it for you.
18 Page 26, JFG-1; Page 26, which is Table H.

19 Q (By Mr. Sirkin) How fast is this utility
20 growing?

21 A I've got a margin reserve under two
22 calculations. One is a year and a half at close to
23 11%, 10.77% in terms of ERC growth. So approximately
24 8%; 7, 8% in that area, per year with respect to the
25 water system.

1 Q Are you familiar with the PCUC ITT service
2 agreement, the June of 1990 agreement, I believe? I'm
3 sorry. Let me get you the exact -- the June 27th,
4 1980 agreement between PCUC and ITT Community
5 Development Corporation?

6 A No.

7 Q Okay. So much for those questions. Was
8 there a witness who knows something about that
9 agreement? Can the company supply witness who knows
10 something about that agreement?

11 A I don't know.

12 Q Okay. You used six years of historic data,
13 1990 to 1995, to determine your expected ERCs?

14 A Yes.

15 Q Why did you pick that period of time?

16 A I believe that was a period of time since
17 the last rate increase.

18 Q And the projected growth only depends upon
19 those five years, those six years?

20 A The way I use it, that's correct.

21 Q So if they said, then, if we had been three
22 years since the last rate case, you would have used
23 three years?

24 A I probably would have used five. I would
25 have gone back to have at least five years. I believe

1 the Commission looks for at least five years' worth of
2 data. At least the Staff does.

3 Q That's all I have at this time, John. Thank
4 you.

5 COMMISSIONER DEASON: Mr. Reilly?

6 CROSS EXAMINATION

7 BY MR. REILLY:

8 Q Good afternoon, Mr. Seidman --
9 Mr. Guastella.

10 A Good afternoon.

11 Q A question for you. Seidman was on my mind
12 because we asked him some questions that he wasn't
13 able to answer and he referred them to you, and this
14 had to do with the amount of reuse being sent to the
15 Hammock Dunes.

16 I believe in response to Mr. Sirkin's
17 question you said that the Dunes received
18 approximately 1 million gallons a day of effluent
19 during 1995; is that correct?

20 A I believe that's the number that comes out
21 of the latest information; that's correct.

22 Q And yet in the MFRs, did not PCUC use the
23 figure of 800,000 gallons per day times 365 days,
24 times the .67 per 1,000 gallons to arrive at the
25 estimated revenue impact of 195,000 --

1 **A** That's correct.

2 **Q** -- 640? Am I correct that Hammock Dunes has
3 agreed to use it's best efforts to take up to
4 1.6 million gallons a day of reuse on an average
5 annual basis?

6 **A** No, I don't believe that's correct. I
7 believe they're going to -- I don't know what they
8 committed to take. I think the average is about
9 600,000 gallons a day is what they targeted taking. I
10 think the 1.6 is a maximum number level, and I don't
11 believe their facilities at this point in time can
12 take an average of 1.6 throughout the year.

13 **Q** But in the agreements with PCUC are they not
14 obligated to exercise their best efforts to take up to
15 that amount?

16 **A** I don't recall that in the agreement. I
17 believe PCUC will try to give Dunes up to 1.6 MGD if
18 it can, but I don't recall seeing a commitment by
19 Dunes to take 1.6; certainly not on average. They
20 can't do that on an average.

21 **Q** Have you reviewed Mr. Moyer's testimony?

22 **A** I have.

23 **Q** And could I have you refer to Page 11 of his
24 prefiled direct testimony, and refer you particularly
25 to Lines 11 and 12. Would that clarify your

1 understanding of at least their commitment?

2 A Yes, but I don't -- I don't -- I mean,
3 despite his testimony, they can't take 1.6 million
4 gallons a day on average. There are days when they
5 don't take any because of wet weather conditions, and
6 there are times during the day where they can take at
7 a greater rate than 1.6. They have to take at less
8 than the rate of 1.6, so it's -- I think during dry
9 periods they will attempt to take as much as 1.6 for
10 that day, but I don't think they can take that on an
11 average annual basis. I mean, I know they can't.

12 As a matter of fact, if you read Line 9 it
13 says, "The district has committed to take an annual
14 average of 600,000 gallons per day. They will take no
15 less than 3,000 gallons per day and they'll make their
16 best effort to take 1.6 MGD. When they can, I
17 believe, should be implied by that.

18 Q And that's on an annual average basis that
19 they will exercise their best efforts?

20 A No. As I just stated, on Line 9, the annual
21 average basis is at 600,000 gallons per day.

22 Q Right.

23 A I believe they'll make their best effort to
24 take 1.6 MGD. And although Mr. Moyer says "on an
25 average annual basis," I don't believe he's correct.

1 Q So you disagree with his testimony?

2 A In that regard if that's what he means, that
3 the Dunes is going to take 1.6 MGD every day for 365
4 days a year, I don't think that's what should be
5 expected.

6 Q When Counselor Sirkin was asking you some
7 questions about flushing and whether you considered it
8 to be an excessive cost to have to devote 20 to 25% of
9 finished water to flushing, you really didn't feel
10 that was a particularly serious cost when you consider
11 all this lower embedded cost of plant that's out
12 there, nonused and useful, that's helping to
13 contribute to the flushing problem; is that correct?
14 That the value of all of this plant having been built
15 so long ago more than offsets the cost of excess
16 flushing? And did I understand your answer correctly?

17 A Well, there was more discussion than that.
18 There was discussion that part of the flushing was
19 necessary to serve east of the intercoastal, about a
20 third, I believe. I don't know whether or not the
21 number on average was the 20 to 25%, I thought it was
22 more in the range of 18%, but I -- I mean, I haven't
23 analyzed the specific percentage myself.

24 But then, yes; the answer to the rest of
25 your question is yes, there's -- I think there's a

1 benefit to the customers of having the system
2 installed as it was installed in terms of the overall
3 cost of providing service.

4 And I think if the option is install the
5 system for all the lots it was installed for and have
6 flushing in order to maintain quality, then I think
7 that would be the preference; to install the system as
8 it was installed and have some costs for flushing.
9 And I don't think the costs for flushing are excessive
10 in any event. We're dealing with some power and
11 chemicals, I believe.

12 Q Will the current and future ratepayers
13 receive the benefits of these lower embedded cost?

14 A They have been, they are, and they will.

15 Q But they will only for a certain finite
16 period of time into the future; isn't that true? I
17 mean, the plant which is constructed in the early '70s
18 will become obsolete at what point in time? 2010?
19 2020? And is that not true?

20 A That's probably not true.

21 Q And what would you expect to be the life --
22 the useful life of transmission lines, distribution
23 lines, plant -- placed into the ground in the early
24 '70s?

25 A I think the lives are going to be

1 significantly greater than what the PSC's average
2 service lives used for depreciation purposes are. I
3 think in real physical, terms as opposed to economic
4 terms, the fiscal property is probably going to last
5 75 to 100 years for mains. The economic life is going
6 to be different, because costs of mains keep
7 increasing.

8 Q Are you familiar with the substantial money
9 already being paid by Palm Coast to try to
10 rehabilitate these lines that are going to last for
11 100 years?

12 A Well, I don't know what you define as
13 substantial. I believe the allowance for depreciation
14 far exceeds what the cost of maintaining the lines
15 are. So I don't think the company is at all at the
16 point where it's spending more money than the
17 Commission anticipates it's spending through
18 depreciation allowance.

19 Q Is it not true that there are several
20 troubled sections that were controversial in terms of
21 their construction in the first place, that the
22 company has had to devote approximately \$1 million
23 worth of rehabilitation just since the last rate case?

24 A Mr. Reilly, I'm not familiar with the
25 specific numbers, but even if you're talking about --

1 based on my discussions with the company regarding
2 this issue -- and it wasn't specifically because I was
3 going to be testifying regarding this issue -- but I
4 observed, myself, that the allowances for depreciation
5 where you expect the company to be spending certain
6 levels for routine costs of replacing mains when
7 compared with what the actual cost is, the actual cost
8 is much lower.

9 So by the standards of loss-of-service value
10 of utility facilities, there's nothing beyond what was
11 expected. It's lower than what was expected. I
12 believe.

13 Q I was a little surprised to hear you say
14 that the flushing, that was substantial flushing on
15 the beach side. I had always understood that there
16 were large tracts of underutilized transmission
17 distribution system on the mainland that also had the
18 added problem of deadend lines, cul de sacs. We had a
19 number of people testify as to the number of cul de
20 sacs on the mainland.

21 Would not the low used and useful and the
22 large number of cul de sacs contribute to an increased
23 amount of -- increased requirement for flushing?

24 A It's difficult for me to characterize large
25 and small when I haven't analyzed the system. I mean,

1 most systems have cul de sacs and most systems that
2 I'm aware of have deadends. There may be more
3 deadends here than, say, your typical average system.

4 But as I testified before in response to
5 Mr. Sirkin, the costs of flushing, I think, are
6 relatively minor, and certainly minor in relation to
7 the benefits of the system having been installed, for
8 which customers aren't paying for any capital costs at
9 a current level. They're paying on the basis of
10 historic embedded cost for the system, and only for a
11 portion of those, which through the rate setting
12 process, only allows them to pay for used and useful
13 portions.

14 So all of the unused and useful portions are
15 not being paid for by the customers at all. It just
16 so happens that the system's method of doing used and
17 useful adjustments for new and growing utilities has
18 protected the customers as the system is growing. The
19 connected customers as the system is growing has
20 resulted in a significant benefit for the customers.

21 Q Now, the dollar impact on purchased power
22 and chemicals might be relatively small compared to
23 this total revenue requirement.

24 However, would it not have a serious impact
25 on impairing the capacity of the plant to meet the

1 water demands of the community, if in fact 20 to 25%
2 of the plant's total output has to be devoted to this
3 purpose? And wouldn't that cause the need for
4 millions of dollars more to be spent for more plant
5 when it's needed for growth?

6 A No.

7 Q And why not?

8 A Because the capacities on the system have
9 not been adversely impacted by the flushing. The
10 company has been meeting its demands. The capacity
11 has been based a maximum day, and we've excluded any
12 extraordinary flushing on those -- on the days that we
13 did use. So I just don't understand what calculations
14 you're referring to that would show it as an adverse
15 impact.

16 Q Well, if flushing is not brought down, and
17 growth continues in a orderly fashion, will not the
18 need to build new plant occur more quickly than
19 otherwise, if 20 to 20% of the plan is devoted to
20 flushing that could have been devoted to growth.

21 A You're relating a percentage to existing
22 flows. As the system builds out, the percentage is
23 going to decrease and decrease and decrease, and I
24 think the percentage of flushing has decreased over
25 the years.

1 So as the system grows out, your observation
2 of a percentage is going to be to observe a smaller
3 percentage. The percentage looks higher now because
4 of the number of customers you have now in relation to
5 the size of the system that you have.

6 Q But the growth rate is relatively small
7 here, is it not?

8 A No. I think it's relatively large. I mean
9 you're growing at a rate of 8 to 10% a year. I
10 believe that's a pretty significant growth for a water
11 and sewer utility.

12 Q Last question on flushing. Can you relate
13 to us the percentage of flushing on beach side versus
14 mainland, or do you have the knowledge about that?

15 A I haven't -- as I indicated, I didn't
16 prepare direct testimony on the issue or rebuttal on
17 the issue. It's just based on my discussions once the
18 issue is raised. And I believe it's about a third. A
19 third of the flushing is related to beach side. That
20 seems to be a number I recall.

21 Q Let me have you refer to MFR's Volume 1.

22 A I need to get a copy of that.

23 Q And we're going to be looking at Page 137-N,
24 titled "Calculation of ERCs, Sewer." Okay. I'll tell
25 you what. I'm not even going to take you through this

1 quite extensively, because I think Mr. Sirkin did
2 cover the fact that you were assuming the 85%
3 residential water sold to return as wastewater;
4 correct?

5 A Yes.

6 Q And on the same table, however, you also
7 indicate that hundred percent of water sold, in your
8 estimation, is expected to go back to the plant as
9 wastewater; is that correct?

10 A I don't understand.

11 Q That's for general service and multifamily.

12 A No. This calculation wasn't made to
13 determine for general service how much wastewater was
14 going back to the plant. This calculation was made to
15 come up with an equivalent ERC basis. And the ERC
16 basis that I'm looking at was based on the residential
17 consumption and a return factor. I'm applying that
18 same return factor to general service. I don't make a
19 similar adjustment for general service.

20 Q So you do, for the purpose of this
21 calculation, assume the 100%; is that not correct?

22 A As I indicated, this calculation wasn't made
23 for the purposes of determining how much of the
24 general service billed consumption for sewer was
25 returning for a plant that was made to come up with an

1 equivalent residential connection for growth purposes.

2 Q That is how you calculated your ERC?

3 A That's how I calculated the ERC. And the
4 ERC calculation is used to come up with a percentage
5 of growth. So the issue of whether or not the general
6 service water returns at 85%, 100% doesn't come into
7 play in any of my calculations.

8 Q Could I have you refer to MFRs, Volume 3,
9 (5), Section (5).

10 MR. GATLIN: If you don't have it, John,
11 I'll get it. (Hands document to witness.)

12 Q (By Mr. Reilly) I'll tell you what, I'm
13 going to spare you. We're going to try to move on and
14 get to a subject that relates to that.

15 Do you know how much of the reject
16 concentrate from the membrane water treatment plant
17 has been discharged into the wastewater treatment
18 plant during 1995?

19 A I don't know off the top of my head. I
20 believe there was a response --

21 Q Late-filed Deposition Exhibit No. 6?

22 A I'll take that, subject to check. I believe
23 it was a response to a late-filed deposition which
24 gives that figure.

25 Q Does the figure \$139,747 gallons per day

1 strike a familiar chord?

2 A No; but I'll accept it, subject to check.

3 Q Okay.

4 A And per day are you assuming over a 365-day
5 period, just so I understand what you're asking me to
6 check?

7 Q That's correct; yes.

8 A And was that for 1995? I'm sorry.

9 Q That's correct.

10 A And may I ask your figure again?

11 Q Okay. Yes. 139,747 gallons per day. Is
12 that correct?

13 A I'll check it. I didn't add up the numbers
14 and do the arithmetic. I just wanted to know what I
15 was going to check.

16 Q Is it correct that the pretreatment effluent
17 pumping, the PEP main system, eventually connects with
18 gravity main system through lift stations?

19 A I believe that's correct. It may connect to
20 a force main as well.

21 Q But not all PEP mains currently connect with
22 gravity main system; is that correct?

23 A I don't know. Not all PEP mains -- I know
24 it's my understanding that all of the mains connect to
25 lift stations, and I just couldn't tell you whether or

1 not there are some that don't.

2 Q I understood that there were a number of PEP
3 customers whose PEP flows to certain manholes that are
4 not connected to gravity mains, and that the only way
5 that effluent can get transported to the treatment
6 plant is by some truck coming out and pumping that
7 pump station out? Is that correct? Or is that your
8 understanding of underutilized PEP areas?

9 A I believe there's some trucking that takes
10 place. I believe the trucking may be from certain
11 lift stations to others. But I'm not aware of the
12 details of that.

13 Q Would it not seem that that would be a much
14 more expensive means of transporting effluent than
15 through the gravity system?

16 A More expensive in relation to what?

17 Q Than having an integrated system and having
18 the flows go through gravity mains?

19 A I haven't done that calculation, but I
20 recall from previous cases that the installation of
21 the PEP system was the least costly for providing
22 service under the conditions of the system. I mean, I
23 haven't reexamined that for this case.

24 Q Have you done any examination of the man
25 hours required to address problems that occur as a

1 result of the PEP system versus the main?

2 **MR. GATLIN:** Mr. Chairman, I object to the
3 question. There's not a proper predicate laid to the
4 question. It assumes the problems, and there's no
5 testimony that there is a problem, from this witness.

6 **COMMISSIONER DEASON:** Mr. Reilly?

7 **MR. REILLY:** I'll rephrase the question.

8 **Q** (By Mr. Reilly) Do you have any
9 information about the man hours required to service
10 the PEP system and problems that arise as a result of
11 the PEP system?

12 **MR. GATLIN:** Mr. Chairman, I still object.
13 There's no testimony that there's a problem with the
14 PEP system as far as expenses are concerned.

15 **MR. REILLY:** I believe there's substantial
16 customer testimony earlier about that issue.

17 **MR. GATLIN:** Not as to expenses.

18 **COMMISSIONER DEASON:** I'm going to allow the
19 question to the extent that if there are any problems,
20 and this witness has knowledge of those problems, he
21 can describe those in spoken to the question.

22 **WITNESS GUASTELLA:** As I indicated in
23 response to your previous question, I have not done
24 any separate analyses for this case, so I don't know
25 the man hours.

1 I do recall in previous cases, however, an
2 issue regarding the PEP system being addressed, and
3 there were studies which showed that it was a
4 cost-effective means for providing wastewater
5 collection. I haven't done any separate analyses for
6 this case.

7 MR. REILLY: With counsel's permission, I do
8 have late-filed Deposition Exhibit 6 to refresh his
9 memory on his deposition.

10 MR. GATLIN: I think he has it. We'll get
11 it to him. (Hands document to witness.)

12 Q (By Mr. Reilly) There's just a couple of
13 quick follow-up questions. To quantify the amount of
14 concentrate flow to the wastewater treatment plant in
15 the year 1995, this particular late-filed exhibit, it
16 just provides the monthly flows; is that correct?

17 A Yes; for 1994 and 1995.

18 Q And so it would just be a mathematical
19 computation to add that up and multiply times 1,000
20 gallons to give us our annual daily flow; is that
21 correct?

22 A No. You're going to have to divide by the
23 number of days in the year as well.

24 Q Well -- yeah, and divide by the -- could you
25 confirm for me, please, what this late-filed exhibit

1 shows in terms of the average daily flow for the year
2 1995 for concentrate flowed to the wastewater
3 treatment plan?

4 A Do you want me to do the arithmetic instead
5 of accepting your number subject to check?

6 Q No. That would be all right.

7 A I believe you gave me a number of 139,747,
8 and asked me to --

9 Q That's fine?

10 A -- take that number, subject to check.

11 Q Let's move on to Exhibit JFG-1, Table C,
12 Pages -- looking at Table C.

13 A I have it.

14 Q We'll be talking about the 10% plant use
15 adjustment. In Table C of this exhibit you made a 10%
16 plant capacity adjustment, so that total plant
17 capacity is reduced to 7.2 million gallons a day from
18 8 million gallons a day; isn't that correct?

19 A No.

20 Q All right. Would you clarify it for me?

21 A I adjusted water treatment plant No. 1 to
22 5.2 million gallons. I did not make any adjustment to
23 water treatment plant No. 2, which is the membrane
24 plant. So the \$800,000 is not a 10% figure. It
25 happens to be 10% of the combined --

1 Q I see.

2 A -- 8 million capacity, but it is not a 10%
3 adjustment that was made to the 8 million gallons.
4 It's a fallout number.

5 MR. GATLIN: Mr. Chairman, just so the
6 record is correct, are you referring to Table C,
7 Page 5 of the --

8 MR. REILLY: I think it's on Page 20 of this
9 JFG-1, and it's Table C found on Page 20 of his used
10 and useful analysis, JFG-1.

11 Now, on Page 5 and 6 he refers to this
12 subject in his testimony.

13 MR. GATLIN: Page 20 of that exhibit is what
14 you're looking at?

15 MR. REILLY: That's correct.

16 Q (By Mr. Reilly) So then what sort of a
17 plant use adjustment does this reflect, then? It's to
18 the lime softening plant? What does that work out on
19 a percentage basis?

20 A I believe it's 13%.

21 Q Okay. And what is your basis for using that
22 percent again?

23 A If you refer to Page 6 of exhibit JFG-1 --

24 Q Okay.

25 A -- I calculated -- or I had provided to me

1 the actual average 1994 plant uses, which amounted to
2 14.2%. The company had outside consultants looking at
3 the plant, and the percentage used for backwashing was
4 approximately 13.3% based on backwashing of filters.
5 And I used the 13.3% instead of the actual, which was
6 greater than the 13.3%.

7 I had also put in substantial testimony in
8 previous cases which showed that the percentage was
9 actually about 18.5% for plant uses.

10 Q All right. In this same exhibit -- thank
11 you -- this same exhibit on Page 7, just over from
12 where you were referring -- I think we're looking at
13 the last two sentences -- okay. In this exhibit -- I
14 guess next thing after -- I'd also like you to turn to
15 Table D of this same exhibit. Okay. Now on --

16 A Is that JFG-1, Table D, page 21?

17 Q Correct. Now, on this -- at this location
18 are you not using the 1,200,000-gallon storage for
19 fire demand because a fire may occur at any location;
20 is that correct?

21 A That's correct. I'm using 600,000 gallons
22 per day, but because of the two major facilities, I'm
23 adjusting by a million, two.

24 Q Does this mean you assume two fires
25 happening at the same time?

1 A Not necessarily, although that could happen.
2 I'm assuming a fire can happen at any location within
3 the system, and when it does, it will be -- the water
4 for fighting that fire would be available from the
5 facility, either of the major facilities.

6 Q Isn't the PCUC water system one integrated
7 system with the water supply being provided to the
8 entire system by the two separate water plants?

9 A Yes, that's correct. However, integrated
10 systems all have storage -- distribution storage
11 facilities that would provide for fire protection
12 purposes at each facility.

13 Q Why should the fire flow requirement be
14 doubled because the company built two plants at
15 different locations, instead of just increasing the
16 capacity of the first plant?

17 A Well, you want to build your system so that
18 it's the most reliable, and if you could build your
19 system so that your sources of supply are extended
20 over a broader area of the system, you're going to
21 have a more reliable system. And you can't expect all
22 the pipes to deliver water to any extreme of the
23 system without some assistance from distribution
24 storage or different locations. It improves the
25 ability to meet demands throughout your system.

1 Q Instead of expanding the two existing
2 plants, if the company had -- elects to build a third
3 plant, would it be your recommendation that the fire
4 flow requirement be tripled?

5 A I'll analyze that when we get to the
6 location of the third plant.

7 For example, what you're suggesting is just
8 keep building all your plants and all your storage at
9 one location. If we can put in our mind one system
10 with one mile of main or with ten miles of main, you
11 wouldn't want to be the customer at the end of the
12 10th mile of main with all of your source supply being
13 at one end.

14 And I'm not using that in strict engineering
15 terms, but it just makes sense that you'd want to have
16 points of source that are scattered throughout a
17 system and --

18 Q But you would --

19 A -- I haven't done an engineering study as to
20 where the third treatment plant expansion should take
21 place.

22 Q In your deposition you said that you did not
23 make any analysis to find out whether PCUC's
24 wastewater system has excess inflow and infiltration;
25 isn't that correct?

1 A I did not -- but I believe I had also
2 testified that I had seen some figures to show that it
3 was well within a recommended infiltration, even for
4 new systems.

5 Q Are you talking about the smoke testing
6 physical survey provided in OPC document request
7 No. 60?

8 A I don't know.

9 Q This is the only survey we've been able to
10 identify up to this point that the company has offered
11 as its attempt to quantify any I&I problem.

12 A No, I don't believe I personally looked
13 through this system. What I was looking at was some
14 flow information that was related per inch miles of
15 main, and the level of I&I per inch mile of main was
16 well within what is considered reasonable for
17 wastewater facilities.

18 Q So you don't know too much about this
19 particular study?

20 A No. I don't recall reviewing this.

21 Q Well, I won't ask you any questions about
22 it. Let me move you to Exhibit JFG-1, Table N-2, and
23 we're talking about your maximum month factor of 1.3
24 and maximum three-month factor of 1.2. (Pause)

25 Okay. On this table, is it correct that --

1 isn't it correct that the factors of maximum month and
2 maximum three-month used in this table are ratios of
3 peak flows to annual average daily flow?

4 A Well, they are what they show on the table.
5 They are the maximum three months in relation to
6 average.

7 Q So the effect of this calculation is you're
8 projecting growth of flows from '94 to '95. Is that
9 what you're doing there?

10 A No.

11 Q All right. Would you help me understand
12 what this calculation is --

13 A Yes. I'm estimating a maximum three-month
14 flow for the number of customers during 1995. The
15 plant flows are receiving -- I'm sorry -- the plant is
16 receiving flows through a system that is built larger
17 than just to serve the number of customers at year
18 end.

19 I'm taking the ratio of the maximum three
20 months to average and, in effect, calculating what the
21 maximum three months would be to serve only the
22 customers at year-end 1995.

23 Q But if I understand the 1.3 and the 1.2 --
24 and you're establishing a 20 and 30% growth factor,
25 are you not?

1 A No.

2 Q By multiplying by those amounts?

3 A No.

4 Q Okay. Well, help me again, then.

5 A If you take a look at Table N-2, there's a
6 line in the middle chart that shows maximum three
7 months, October to December, 1994.

8 Q Yes.

9 A It shows the maximum three-month flow on an
10 average day basis as 2.65 million gallons. That was
11 what the plant received. Turn to Table N-1 on the
12 previous page.

13 Q Okay.

14 A I'm using a maximum three-month demand, the
15 second number on the page, of 2.89 million.

16 So I've calculated a maximum three months
17 only for the 1995 customers to eliminate the question
18 as to whether or not the plant flows are receiving
19 wastewater and -- flows through the system due to wet
20 weather periods greater than what should be applied to
21 just the 1995 level of customers.

22 So I'm reducing the actual three months
23 maximum demand on the system to relate it to only the
24 1995 level of customers, eliminating, I assume, any
25 question about whether or not the used and useful

1 study is including flows for a system that's not fully
2 developed.

3 Q If I were to use the actual population
4 growth to do this flow projection, would my projected
5 flow be less than what you are projecting here?

6 A I don't have any idea of how you would do
7 the calculation. I can't answer your question.

8 MR. REILLY: That concludes our --

9 COMMISSIONER DEASON: Mr. Melson?

10 MR. MELSON: I can't finish in seven
11 minutes.

12 COMMISSIONER DEASON: Well you just go right
13 ahead. When we get to the point where we have to
14 break, I'll just interrupt you.

15 MR. MELSON: All righty. Thank you.

16 CROSS EXAMINATION

17 BY MR. MELSON:

18 Q Mr. Guastella, I'd like to start by
19 following up on a couple of questions that you've been
20 asked by Mr. Sirkin and Mr. Reilly.

21 There was talk about flushing on beach side.
22 Just so there's no confusion, does beach-side -- when
23 you use the term "beach side," you don't mean the
24 Hammock Dunes and the Dunes Community Development
25 District, do you?

1 A In response to those questions, I don't
2 include that, but in a generic sense I usually do.

3 Q All right. Would you agree that any
4 flushing that Dunes does of its own system is of water
5 that comes to Dunes through the meter and for which
6 Dunes pays Palm Coast the tariffed rate?

7 A Yes, I agree with that.

8 Q You were asked a question by Mr. Sirkin
9 about your 20% economy of scale factor that applied to
10 used and useful, and I've got a couple of follow-ups
11 as it relates to the bulk water rate that Dunes pays.

12 If the application of that factor results in
13 a higher used and useful, that translates to a higher
14 revenue requirement; is that correct?

15 A I need to have it repeated.

16 Q Okay. If the application of that 20%
17 economies of scale factor has the result of increasing
18 the dollar amount of plant that is used and useful,
19 that translates to an increase in revenue requirement;
20 is that correct?

21 A Overall that's correct. You previously
22 related that to Dunes and I'm assuming that the Dunes
23 rate is simply a proportionate increase in relation to
24 the overall rate. So it would impact Dunes
25 proportionately.

1 Q Good. You cut out about three of my
2 questions. That's where I was going.

3 I believe you indicated in one answer to
4 Mr. Reilly that there are days that Dunes does not
5 take any effluent. Are you aware of when the most
6 recent effluent agreement between Dunes and Palm Coast
7 was entered into?

8 A I couldn't give you the date off the top of
9 my head. I could look for it in part of the testimony
10 or accept --

11 Q Okay. Would you accept, subject to check --
12 and it's Exhibit 4 to Mr. Moyer's testimony -- that it
13 was September of 1995?

14 A Yes, I will except that, subject to check.

15 Q And that agreement, I believe, provided for
16 Dunes to take a minimum of 300,000 gallons a day each
17 and every day; is that correct?

18 A Yes.

19 Q And is it your understanding that Dunes has
20 met that obligation and has, in fact, taken at least
21 300,000 gallons a day since that agreement went into
22 effect?

23 A I've made that assumption. I haven't
24 specifically checked that.

25 Q So when you said there were days when they

1 take nothing, that was not based on any personal
2 knowledge of the amounts that Dunes has taken on a day
3 by day basis?

4 A That's correct. And I may have -- be
5 mistaken where it would be at least 300,000 gallons
6 per day.

7 Q All right. Let me sort of leave the
8 follow-up questions.

9 You propose an effluent rate of 67 cents per
10 1,000 gallons; is that correct?

11 A Yes.

12 Q And today Dunes is Palm Coast's only
13 effluent customer; is that correct?

14 A That's my understanding, yes.

15 Q And today there is no charge to Dunes for
16 the effluent; is that right?

17 A Yes, I believe that's correct.

18 Q And the effluent that Dunes -- excuse me --
19 that Palm Coast provides to Dunes is treated to
20 secondary wastewater treatment standards; is that
21 right?

22 A Yes.

23 Q And is that the level to which Dunes is
24 required to treat all of its effluent regardless of
25 the method of disposal?

1 **A** I believe Dunes is required to provide
2 additional treatment.

3 **Q** All right. But Palm Coast, by its permit
4 conditions, is required to treat all of its effluent
5 to secondary standards?

6 **A** That's my understanding, yes.

7 **Q** And can we use the term "unfiltered
8 effluent" to refer to effluent that is treated to
9 secondary standards?

10 **A** For the purposes of discussion, yes.

11 **Q** Okay. Now, Palm Coast disposes of its
12 unfiltered effluent either in its own spray field, its
13 own RIBs, or rapid infiltration basins, or by
14 providing it to Dunes; is that correct?

15 **A** Yes.

16 **Q** And from your point of view, is that all
17 essentially one integrated effluent disposal system
18 for Palm Coast?

19 **A** Yes.

20 **Q** The unfiltered effluent that Palm Coast
21 produces is suitable for reuse at public access
22 sites -- excuse me -- nonpublic access sites, such as
23 sprayfields and RIBs; is that right?

24 **A** Yes.

25 **Q** And would you agree that the unfiltered

1 effluent requires further treatment in the form of
2 filtration and high level disinfection in order to be
3 suitable for application to public areas, such as golf
4 courses, road rights-of-way, residential lawns?

5 A I believe that's the degree of treatment
6 that Dunes is required to provide.

7 Q Could Palm Coast apply unfiltered effluent
8 that leaves it's plant to public access areas without
9 further treatment?

10 A I haven't -- I don't know. I don't know
11 what they would have to go through to get approval
12 from DEP in order to do that.

13 Q The additional treatment that Dunes is
14 required to perform before application to public
15 access areas is done with Dunes' facility at Dunes'
16 sole cost and expense; is that correct?

17 A That's my understanding, yes.

18 Q Now, your proposed 67-cent rate was
19 developed based on a cost allocation study that I
20 believe is JFG-2, part of Exhibit 15; is that right?

21 A Yes.

22 Q And that study allocates the total cost of
23 Palm Coast's new million-gallon-a-day RIB and the
24 total cost of its new 6 million gallon effluent
25 storage tank to the effluent reuse rate; is that

1 right?

2 A Yes; for total effluent, not just for Dunes'
3 portion.

4 Q And you basically allocate the total cost of
5 those two facilities to effluent and divide by the
6 total effluent that Palm Coast produces to develop the
7 67-cent rate?

8 A That's correct.

9 Q And although it's not broken down that way
10 in your exhibit, would you agree that the cost of the
11 RIB included in your study is about \$1,970,000, and
12 the cost of the storage tank is about \$879,000?

13 A I believe that's correct.

14 Q Would it help you if I showed you a work
15 paper that supports your table?

16 A I'll accept it, subject to check.

17 Q Well, I don't know exactly how we're going
18 to check it. Will you accept it, or would you like to
19 check it?

20 A I'll check it.

21 Q Mr. Guastella, let me show you Exhibit 3 to
22 your deposition, which I believe is one of the work
23 papers that supports your table, and ask if by
24 reference to that work table you can agree that the
25 cost of the RIB is 1.970 million, and the cost of the

1 effluent -- of the storage tank is 879,000? (Pause)

2 A Okay. \$1,970,000, and the storage tank is
3 approximately 879,000."

4 The RIB is approximately \$1,970, 000. And
5 the -- (Pause) -- and the storage tank is
6 approximately 879,000.

7 Q All right. Let's talk a minute about the
8 RIB. The RIB is basically an all-weather effluent
9 disposal site; is that correct?

10 A Yes.

11 Q And effluent that goes to Dunes never goes
12 through the RIB; is that correct?

13 A That's correct.

14 Q And isn't it true that Palm Coast would have
15 constructed the RIB whether or not Dunes was an
16 effluent customer of Palm Coast?

17 A I believe that's correct.

18 Q And given that, is it fair, then, to say
19 that the cost of the RIB is not an incremental cost of
20 providing service to Dunes?

21 A That's correct. It's not an incremental
22 cost. It's Dunes -- Dunes shares in that cost through
23 my cost allocation study, as do all of Palm Coast's
24 other customers.

25 Q Palm Coast doesn't have any other effluent

1 customers, though?

2 A I was referring to the sewer customers.

3 Q All right. Let's talk a minute about the
4 6 million gallon storage tank. That tank was designed
5 and permitted in order to provide wet weather storage
6 capacity for Palm Coast's own spray field site; is
7 that correct?

8 A I don't know the timing of the design. I
9 know the tank was constructed to serve both Palm
10 Coast's needs as well as the Dunes' needs; in
11 particular the Dunes' needs. If it was just Palm
12 Coast customers, sewer customers, they would not have
13 needed the tank.

14 Q Let me give you a document that's previously
15 been marked as Exhibit 5. It's a letter from Palm
16 Coast Utility Corporation to Mr. Jeff Martin of DEP
17 transmitting the application for the wastewater
18 treatment plant capacity increase. And ask if you
19 would read the middle paragraphs on Page 2.

20 A Beginning with the word "included"?

21 Q Yes.

22 A Do you want me to read that into the record,
23 Mr. Melson?

24 Q Let me ask you, Mr. Guastella, if you would
25 agree that it says: "Included in the project is the

1 construction of a 6 million gallon ground storage
2 tank. This reservoir will provide for storage of the
3 0.8 million-gallon per day of effluent flow to the
4 existing spray irrigation site."

5 A That is what it reads, yes.

6 Q And does it also say PCU -- Palm Coast
7 Utilities -- will not be providing any additional wet
8 weather storage for the 1.6 million-gallon-a-day flow
9 associated with Hammock Dunes' reuse system, and
10 that's because the wet weather storage requirement for
11 that system is already met at the Dunes?

12 A That's what it reads, yes. It doesn't say
13 that that storage has been met at the Dunes. It says
14 "has been permitted by the Florida Department of
15 Environmental Protection and constructed by Hammock
16 Dunes." So I don't believe they are referring to the
17 same storage facility in that paragraph.

18 Q Well, let me just be clear. That letter
19 says, in essence, that Hammock Dunes has a
20 1.6 million-gallon-a-day facility and the associated
21 wet weather storage necessary to support the
22 permitting of its facility; is that correct?

23 A That's correct.

24 Q And the -- it says that Palm Coast intends
25 to construct a 6 million gallon tank in order to

1 provide wet weather storage not for the Dunes, but for
2 Palm Coast's own 800,000-gallon-a-day spray field; is
3 that correct?

4 **A** Well, it doesn't say "not for the Dunes."
5 This is one piece of correspondence out of many, and
6 when I reviewed the many pieces of correspondence, it
7 was fairly clear that the storage facility was needed
8 to provide service to the Dunes.

9 **Q** Okay. Let me show you another document,
10 then. It's previously been identified as Exhibit 1,
11 titled "Preliminary Design Report." And ask if you
12 would turn to Pages 16 and 17 of that report. John,
13 it's probably the one with the yellow sticky on it.
14 It's between the two sets of maps.

15 **A** I have it.

16 **Q** And if you look toward the bottom of that
17 page, doesn't that preliminary design study tell DEP
18 essentially the same thing, that Palm Coast is not
19 adding any wet weather storage capacity related to the
20 reuse that goes to Hammock Dunes?

21 **A** Well, this is indicating that the wet
22 weather requirement for 1.6 MGD flow from PCUC to
23 Hammock Dunes has been met at Hammock Dunes' reuse
24 facilities, referring to Hammock Dunes' own
25 11.6 million gallon of storage facility.

1 Q So it's not just in the transmittal --
2 doesn't that document also say that the 6 million
3 gallon storage tank is, therefore, designed to provide
4 wet weather flow to Palm Coast's own spray field site
5 and not to Hammock Dunes?

6 A It doesn't say "not to Hammock Dunes," and
7 it says "and would also provide some flexibility for
8 the operation of the effluent reuse system."

9 As I indicated, there's been a lot of
10 discussion and correspondence back and forth which
11 indicates that the storage facility was needed in
12 order to serve Dunes.

13 Q You say there's been a lot of discussion and
14 correspondence back and forth. In your view, how is
15 it that the 6 million-gallon-a-day storage facility is
16 required to support the Dunes?

17 A The 6 million gallon storage facility is
18 required for two primary reasons. One is to provide
19 equalization to Dunes, and the other is to maintain
20 the quality of the effluent going to Dunes, to assist
21 Dunes in its use of the spray field, and generally as
22 a wet weather storage participate for Palm Coast.

23 I believe Dunes shares in that cost as well
24 through my cost allocation study, or should share in
25 it.

1 Q Well, I know they do share in it. I guess
2 I'm questioning if they provide all of their own wet
3 weather storage at their site why they should share in
4 the cost of more wet weather storage at your site.

5 A I believe you're trying to simplify what's
6 probably you very complex story. There was a time
7 when Palm Coast was anticipating that the storage
8 facilities at the Dunes would be available to Palm
9 Coast for storage. That turned out not to be the
10 case.

11 The reasons why Dunes should be sharing in
12 the cost is part of the reason that we discussed
13 before, and that is that it's an integrated system,
14 and that the cost of providing effluent to Dunes -- or
15 there is a cost of providing effluent to Dunes by a
16 cost allocation process, regardless of what facilities
17 the Dunes may have on its own.

18 I believe the existing sewer ratepayers are
19 paying for the cost of Palm Coast's treatment and
20 disposal of wastewater, and the Dunes should be
21 picking up a piece of its cost, a part of that cost as
22 well, as part of a reasonable effluent rate, which is
23 spelled out in the testimony.

24 Q Let me ask you this: If there was not an
25 effluent agreement with the Dunes, wouldn't Palm Coast

1 be required to provide other effluent disposal sites,
2 other effluent disposal capacity?

3 **A** No question Palm Coast needs to dispose of
4 its effluent. I think for the purposes of my study,
5 Dunes also has to receive effluent and use effluent
6 for irrigation purposes.

7 The cost of doing both is something which I
8 believe should involve a sharing of the cost. I have
9 not, as I indicated, not performed a fully allocated
10 cost of service study to have Dunes share in all of
11 the costs, but I also don't believe it's appropriate
12 to use an incremental cost study.

13 I've used part of the cost related to just
14 effluent disposal facilities to establish a rate for
15 effluent that recognizes both a sharing of the cost
16 and the value of the service.

17 **Q** Let's talk a minute about that. You regard
18 it as an integrated system. How did the costs that
19 Dunes incurs in pumping the effluent across the
20 intracoastal waterway in treating the effluent to the
21 level that's required to put in a public access areas,
22 how is that cost accounted for in your cost allocation
23 study?

24 **A** That cost is not included in my cost
25 allocation study. I have never performed a cost

1 allocation study that assigns to customers their costs
2 once the water or the wastewater is collected from a
3 specific site; and there may be many situations where
4 customers on site have to provide their own facilities
5 for improving quality of -- for example, in water.
6 You don't include in utility rate setting the costs
7 someone else incurs as part of the rate you would
8 charge that customer.

9 Q But in determining whether Dunes is paying a
10 fair share of the cost of the effluent it uses, you
11 did not take into account -- it's correct you did not
12 take into account any of the costs that Dunes incurs
13 to make that effluent suitable for application to
14 public access areas?

15 A No, of course not. I'm not going to charge
16 Dunes for its own facilities. I'm only going to have
17 Dunes share in the cost of Palm Coast's facilities in
18 the rate that Palm Coast charges the Dunes.

19 Q Well, if you're looking at the incremental
20 cost of the -- strike that.

21 You mentioned that one of the reasons that
22 you allocated a portion of the cost to the storage
23 tank to Dunes is that it improved the quality of
24 effluent going to Dunes. Did I understand that
25 correctly?

1 A Yes, that's correct.

2 Q Hasn't Palm Coast been required from the
3 outset to provide Dunes with effluent that meets
4 secondary standards?

5 A Yes, I believe that's correct.

6 Q And when there were quality problems, was
7 that the result of Palm Coast providing Dunes with
8 effluent that did not meet secondary standards in that
9 it had excessive concentration of total suspended
10 solids?

11 A No. I believe Palm Coast was meeting its
12 permit requirements for its effluent. As it turns
13 out, there were problems at Dunes with respect to its
14 filtration, I understand, where they were unable to
15 handle the quality of the effluent if taken from the
16 ponds that then existed.

17 And that's part and parcel as well of the --
18 I believe, of this story is more involved than the
19 letters that you were referring to.

20 In order to solve that problem -- and I
21 believe part of that is reflected in one of the
22 agreements where they -- Dunes was seeking a closed
23 system -- instead of taking effluent from the then
24 existing ponds, the storage facility was constructed,
25 which eliminates the problem of algae associated with

1 what was being experienced from the ponds.

2 Q Mr. Guastella, let me ask you, if you are
3 providing Dunes with effluent that has algae in it,
4 you're not providing them with effluent that meets
5 secondary standards, are you?

6 A I believe Palm Coast's effluent is --

7 Q That wasn't --

8 A -- meeting its requirement. And I
9 understand that Palm Coast's requirement to provide
10 effluent to the Dunes was the requirement that DEP
11 requires of Palm Coast for its treatment process. So
12 it's my understanding that whatever Palm Coast's
13 requirement is in accordance with DEP permits, that's
14 what was available to the Dunes.

15 Q And that DEP permit requirement on Palm
16 Coast specifies a maximum level of total suspended
17 solids; is that correct?

18 A I believe so.

19 Q And isn't it true that effluent, after it
20 has sat in a pond and algae has grown in it, at that
21 point that effluent does not meet that total suspended
22 solids requirement?

23 A It may not meet that requirement. However,
24 it's in compliance with DEP regulations.

25 Q It was in compliance with DEP when it left

1 the plant. Is it in the compliance -- is it
2 wastewater that meets secondary standards at the point
3 that it exists in that pond with algae in it?

4 **A** I believe it does.

5 **Q** Let me pass out a simplified drawing here,
6 and I want to talk a little bit more about this
7 quality issue that you've raised.

8 **COMMISSIONER DEASON:** Before we proceed
9 further, let me ask how much more do you have for this
10 witness?

11 **MR. MELSON:** More than I thought when I
12 started. Realistically, at least another half hour.

13 **COMMISSIONER DEASON:** I think now would be
14 appropriate time to take the recess before we begin
15 the evening customer hearing. So we will stand in
16 recess until 6:30.

17 (Recess.)

18 (Transcript continues in sequence in
19 Volume 3.)

20

21

22

23

24

25