

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:	:	DOCKET NO. 960838-TP
Petition by Metropolitan Fiber Systems of Florida, Inc. for arbitration of certain terms and conditions of a proposed agreement with Central Telephone Company of Florida and United Telephone Company of Florida concerning interconnection and resale under the Telecommunications Act of 1996.	:	

FIRST DAY - AFTERNOON SESSION

VOLUME 2

PAGE 131 through 249

PROCEEDINGS:	HEARING
BEFORE:	CHAIRMAN SUSAN F. CLARK COMMISSIONER J. TERRY DEASON COMMISSIONER JULIA L. JOHNSON COMMISSIONER DIANE K. KIESLING COMMISSIONER JOE GARCIA
DATE:	Thursday, September 19, 1996
TIME:	Commenced at 9:30 a.m.
PLACE:	Betty Easley Conference Center Room 148 4075 Esplanade Way Tallahassee, Florida
REPORTED BY:	NANCY S. METZKE, RPR, CCR
APPEARANCES:	

(As heretofore noted.)

BUREAU OF REPORTING

RECEIVED 9-20-96

DOCUMENT NUMBER-DATE
10038-SEP 20 96
FPSC-RECORDS/REPORTING

1	WITNESSES - VOLUME 2		
2	NAME		PAGE NO.
3	TIMOTHY DEVINE		
4	Continued Cross Examination by Mr. Fons		134
5	Cross Examination by Mr. Billmeier		138
6	ALEX JOHN HARRIS		
7	Direct Examination by Mr. Rindler		144
8	Prefiled Rebuttal Testimony Inserted		147
9	Cross Examination by Mr. Fons		177
10	Cross Examination by Mr. Billmeier		190
11	WILLIAM E. CHEEK		
12	Direct Examination by Mr. Wahlen		198
13	Prefiled Direct Testimony Inserted		203

14	EXHIBITS - VOLUME 2		
15	NUMBER	ID	ADMTD.
16	2 (Devine)		142
17	3 (Devine)		142
18	4 (Devine)		142
19	5 (Devine) Handwritten schematic of termination of local traffic	134	142
20	6 (Harris) Deposition transcript, response to interrogatories, and petition and attachments	139	142
21	7 (Harris) Response to Sprint- United's first set of interrogatories and MFS's response to first production of documents and MFS's response to first request for admissions	139	142
22			
23			
24			
25			

INDEX (CONT'D)

EXHIBITS - VOLUME 2

NUMBER		ID	ADMTD.
8	(Harris) DNP-1, 3, 4, 5 and 6	174	197
9	(Harris) DNP-7	190	197
10	(Cheek) WEC-11	192	
11	(Cheek) Central Florida Local Calling Area (Diagram)	201	
12	(Cheek) Interconnection Call Termination (Diagram)	201	

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 P R O C E E D I N G S

2 (HEARING RECONVENED AT 1:45 P.M.)

3 (TRANSCRIPT FOLLOWS IN SEQUENCE FROM VOLUME 1)

4 CHAIRMAN CLARK: We'll reconvene the hearing.
5 Mr. Fons, you were inquiring of Mr. Devine.

6 MR. RINDLER: Your Honor, excuse me, during the
7 lunch break, we prepared a diagram which we have handed out
8 to everybody in lieu of the chalkboard talk. It might be a
9 little bit easier to follow.

10 CHAIRMAN CLARK: All right. We'll label that as
11 Exhibit 5, and it will be the handwritten schematic of
12 termination of local traffic.

13 EXAMINATION

14 BY MR. FONS:

15 Q Mr. Devine, your Exhibit 5, is the only
16 difference between your Exhibit 5 and the Exhibit 4 is that
17 you have longer end user loops?

18 A No.

19 Q You still have the MFS switch as B, point of
20 interconnection C, the tandem switch D-1, the end office
21 swicch D-2, and then you have two end users, but the loop
22 is longer than in Exhibit 4?

23 A Well, what it shows is that it could be that
24 situation. The loops could be both, or the distance
25 between how far we transport a call and you do could be the

1 same from end point to end point. It could be that we
2 could be taking a call a further distance or we could be
3 taking a call the exact same distance, but the whole
4 concept to get across through my diagram is that we are
5 providing an equivalent facility between two end points.
6 And they could be exactly between the same two end points,
7 but we may be using a different topology that reflects a
8 forward-looking technology. And clearly the FCC rules
9 support, one, that if we are providing equivalent facility,
10 that that's considered -- and symmetrical rates which is a
11 second issue, that rates should be symmetrical; and third,
12 that if we are serving a similar tandem serving area as the
13 ILEC that compensation would be reciprocal.

14 Q I thought the reciprocal compensation would be
15 for the tandem switch not for the transport?

16 A No, it could apply for -- what the rule talks
17 about is applying reciprocal compensation, and it talks
18 about tandem switching, that that's how it explains
19 reciprocal in that nature. But if you look in the FCC
20 rules, it's real clear that if we are providing equivalent
21 facility that we would get reciprocal compensation, and
22 part of that compensation is for transport.

23 ? If you are providing transport?

24 A No, that if we are providing an equivalent
25 facility to the classical historical definition of

1 transport. Mr. Harris could address that in more detail if
2 you would like to talk to him about it.

3 Q Could you give us the rule cite that you are
4 relying upon?

5 A That is 51.701 under transport, 51.701.

6 Q Do you have that in front of you?

7 A No, I don't.

8 Q Let me read it to you, and it's 51.701 Subpart C,
9 Transport: "For purposes of this part, transport is the
10 transmission and any necessary tandem switching of the
11 local telecommunications traffic subject to Section
12 251(b) (5) of the Act from the interconnection point between
13 the two carriers to the terminating carrier's end office
14 switch that directly serves the called party or equivalent
15 facility provided by a carrier other than the incumbent
16 LEC."

17 What is the equivalent facility that you are
18 providing?

19 A The equivalent facility is the termination
20 between the ten end points.

21 Q And that would be between, in my -- in Exhibit B
22 or Exhibit 4, that would be between B and A?

23 A Well, what this talks about is how 't could
24 work. The first part of the -- The sentence that reads,
25 "Between the two carriers to the terminating carrier's end

1 office switch that directly serves the called party," that
2 could be talking about between the D-1 and D-2; but then it
3 says "or equivalent facility provided by a carrier other
4 than an incumbent LEC."

5 Q And that was my question. Under this scenario,
6 which facility are you talking about between Point C and
7 Point A?

8 A I'm talking about the whole end-to-end connection
9 between A and C.

10 Q I thought that under the agreement that you have
11 with Sprint that Sprint and MFS would each bear their own
12 costs of the facilities between B and C and C and D-1.

13 A Oh, excuse me, sorry, yeah, from the -- well,
14 it's from the interconnection point. So it's from the
15 interconnection point, wherever that is defined. And as I
16 told you, between B and D is actually a shared ring, so you
17 could say that it begins at C. So from C, this equivalent
18 facility would be from C back to actually to the end user,
19 and that's what -- It's clear in the order about
20 equivalent facilities would be compensated symmetrically
21 with how the LEC would be compensated, and that's the clear
22 point that's in the rule.

23 Q But you're asking for compensation for transport
24 and you've agreed previously that the transport facility is
25 the facility between the tandem switch and the end office

1 switch?

2 A I said based on historical architectures that
3 most of the incumbents use, yes, that's correct. But in
4 numerous locations through the FCC order, and especially
5 when it talks about symmetrical rates, it talks about
6 forward-looking technology, and it talks about new
7 entrants' architecture and the like.

8 Q And I've asked you and I'll ask you again, what
9 is the equivalent facility that MFS provides that is
10 comparable to the transport between D-1 and D-2?

11 A As I've said previously -- I mean what you're
12 trying to do is define -- You're not defining
13 symmetrically how the rules define between, you know, us
14 symmetrically taking a call between two points. It would
15 be our equivalent function. We are talking about an
16 equivalent function. And as I said earlier in my
17 testimony, that our architecture and functions are
18 different than yours. I really don't have anything else to
19 offer on this. Mr. Harris maybe -- if you would want to
20 ask him any more specific questions, I'm sure he could
21 offer some testimony.

22 MR. FONS: I have no further questions.

23 CHAIRMAN CLARK: Staff.

24 EXAMINATION

25 BY MR. BILLMEIER:

1 Q Do you have the exhibit packet?

2 A Yes.

3 Q What we have marked Exhibit TTD-14 is your
4 deposition transcript. It's on MFS's discovery responses
5 and MFS's petition. Are these true and correct to the best
6 of your knowledge and belief?

7 A Yes.

8 MR. BILLMEIER: Madam Chairman, could we have
9 TTD-14 marked?

10 CHAIRMAN CLARK: Yes, the staff exhibit which
11 consists of deposition transcripts, response to
12 interrogatories and petition and attachments and marked by
13 staff as TTD-14 will be Composite Exhibit 6.

14 MR. RINDLER: Madam Chairman, in connection with
15 the last proceeding when we had stricken materials that
16 were taken out of the arbitration proceeding, you
17 determined that it was not a worthwhile exercise to do that
18 with respect to the depositions and interrogatories. Is
19 that the same practice you would like to follow here?

20 CHAIRMAN CLARK: I don't see any reason to go
21 through the deposition to strike out what is not relevant,
22 okay?

23 MR. RINDLER: That's fine.

24 CHAIRMAN CLARK: All right. Mr. Billmeier, do we
25 need to mark Exhibit 15 also?

1 MR. BILLMEIER: Yes.

2 CHAIRMAN CLARK: Okay. And that's the response to
3 Sprint-United's first set of interrogatories and MFS's
4 response to first production of documents and MFS's
5 response to first request for admissions. Staff has
6 labeled them TTD-15; they will be marked as Composite
7 Exhibit 7.

8 BY MR. BILLMEIER:

9 Q And is Composite Exhibit 7 true and correct to
10 the best of your knowledge and belief?

11 A Yes.

12 Q Now Mr. Devine, I have a question about your
13 deposition on Exhibit TTD-14 which is now Exhibit 6, page
14 21, lines 16 through 20. You state there, "And really the
15 only area of disagreement for reciprocal compensation at
16 this point is that you would just, that we would prefer
17 just to have a single identical rate. Let's say it's six
18 tenths of a penny that recovers each carrier's transport."
19 Does this six tenths of a penny rate include end office
20 switching, tandem switching and transport?

21 A Yes.

22 Q Then is it MFS's position that .0005 is an
23 appropriate rate for transport?

24 A I think that should cover both parties' costs in
25 those areas, yes.

1 Q What does Sprint want to charge MFS for
2 transport?

3 A I believe they have offered up the FCC proxy
4 transport rates.

5 Q Okay. There has been some discussion of a price
6 for a cross connect element. What issue in the prehearing
7 order does that fall under?

8 A I don't have the prehearing order in front of
9 me.

10 (DOCUMENT TENDERED TO THE WITNESS)

11 Q Would it be either two or three?

12 (WITNESS REVIEWED DOCUMENTS)

13 A I'm checking. Yes, I would say three because
14 three deals with unbundled loops in general, and as we've
15 discussed, certainly a cross connect is inherent with
16 providing an unbundled loop.

17 Q Thank you, Mr. Devine.

18 MR. BILLMEIER: That is all we have.

19 CHAIRMAN CLARK: Commissioners, questions?

20 (NO RESPONSE)

21 CHAIRMAN CLARK: Redirect, Mr. Rindler.

22 MR. RINDLER: I have none at this time, Your
23 Honor

24 CHAIRMAN CLARK: All right. Exhibits.

25 MR. FONS: I'll move Exhibit 4.

1 CHAIRMAN CLARK: Without objection, Exhibit 4 is
2 admitted in the record.

3 Mr. Rindler, do you --

4 MR. RINDLER: Yes, I would move Exhibits 1
5 through 5.

6 CHAIRMAN CLARK: Well, it would be 2 and 3. And
7 I have a question about 5. We were handed a copy of a
8 hand-drawn schematic, but we didn't do anything with it.

9 MR. RINDLER: I believe that Mr. Devine testified
10 and Mr. Fons asked him about the difference between the two
11 schematics, the schematic 3 and schematic 5, as to whether
12 or not it was just a difference between loop lengths, and
13 there was a discussion concerning the two of them, that the
14 issue was really the end to end termination.

15 CHAIRMAN CLARK: All right. Do we need --

16 MR. FONTS: I have no objection to 5 going in.

17 CHAIRMAN CLARK: All right. We'll admit Exhibit
18 5.

19 And staff moves 6 and 7?

20 MR. BILLMEIER: Staff moves 6 and 7.

21 CHAIRMAN CLARK: Without objection they will be
22 admitted in the record.

23 Thank you Mr. Devine.

24 WITNESS DEVINE: Thank you.

25 MR. RINDLER: Madam Chairman, in light of the way

1 the case has evolved, we discussed with Mr. Fons the fact
2 that Mr. Harris probably would make more sense to go on at
3 this point rather than after Mr. Cheek if no one has an
4 objection to that.

5 CHAIRMAN CLARK: Okay. And Mr. Harris, was he
6 sworn in?

7 MR. RINDLER: No, he was not.

8 CHAIRMAN CLARK: Okay. If he would come to the
9 witness stand, we will take up Mr. Harris who is adopting
10 Mr. -- is it Doctor Porter or Mr. Porter's testimony?

11 WITNESS HARRIS: Mister.

12 CHAIRMAN CLARK: Mr. Porter, okay.

13 (WHEREUPON, THE WITNESS WAS DULY SWORN BY THE
14 CHAIRMAN)

15 CHAIRMAN CLARK: Thank you. You may be seated.

16

17

18 * * * *

19

20

21

22

23

24

25

1 Whereupon,

2

ALEX JOHN HARRIS

3 was called as a witness by the MFS and, after being first
4 duly sworn, was examined and testified as follows:

5

6

EXAMINATION

7 BY MR. RINDLER:

8 Q Good morning, Mr. Harris -- Good afternoon,
9 Mr. Harris. Did you adopt the testimony that was filed by
10 Mr. Porter in this proceeding which was 38 pages -- sorry,
11 let me take that back; I've got the wrong sheet -- which is
12 25 pages?

13 A Yes.

14 Q And is it correct that you are adopting it and
15 you have substituted for the introduction in your motion to
16 substitute Pages 1 through 4.4 which is the biographical
17 information?

18 A Yes.

19 Q In light of the way the case has evolved, are
20 there any deletions or corrections you'd make to this
21 testimony?

22 A Based on the agreement we reached this morning,
23 quite a few. We are -- based on having come to an
24 agreement this morning with Sprint, we are withdrawing
25 testimony beginning on page 4, lines 7 through page 6, line

1 7. We are further withdrawing testimony beginning page 8
2 line 1 through to page 19, line 19. We are further
3 withdrawing testimony --

4 COMMISSIONER KIESLING: You are going to have to
5 slow down.

6 WITNESS HARRIS: I'm sorry.

7 COMMISSIONER KIESLING: I'm still on page 14
8 marking it out.

9 A Okay. And then deleted testimony beginning page
10 21, line 1 through line 11. In addition on page 25, delete
11 the sentence on, beginning on line 11, that first sentence
12 and ending on line 10.

13 CHAIRMAN CLARK: I'm sorry, what was that?

14 WITNESS HARRIS: Page 25.

15 CHAIRMAN CLARK: Yes.

16 WITNESS HARRIS: The sentence that begins on line
17 9 and ends on line 10 is deleted. In addition, we are also
18 withdrawing Exhibit 2 to the testimony. And then as one
19 final correction, on page 22 of the testimony at line 11,
20 we would add the sentence, "We have performed a deaveraging
21 analysis of the proxy based on input data from the BCM
22 which is contained in Exhibit 5."

23 CHAIRMAN CLARK: I take it that will go after the
24 sentence that ends, "cost ceiling?"

25 WITNESS HARRIS: Yes, that is correct.

1 CHAIRMAN CLARK: Okay.

2 BY MR. RINDLER:

3 Q With those changes, Mr. Harris, would the answers
4 be the same as they are here if I asked those questions
5 today?

6 A Yes.

7 MR. RINDLER: I'm going to move that the revised
8 testimony adopted by Mr. Harris be read into the record --
9 included in the record as if read.

10 CHAIRMAN CLARK: The rebuttal testimony of
11 Mr. Porter as adopted by Mr. Harris and as revised on the
12 stand today will be inserted in the record as though read.

13

14

15 * * * *

16

17

18

19

20

21

22

23

24

25

**BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION**

In the matter of)

MFS COMMUNICATIONS COMPANY,)
INC.)

Petition for Arbitration Pursuant to)
47 U.S.C. § 252(b) of Interconnection Rates,)
Terms, and Conditions with)

Docket No. 960838-TP

SPRINT UNITED-CENDEL OF FLORIDA,)
INC. (also known as CENTRAL TELEPHONE)
COMPANY AND UNITED TELEPHONE)
COMPANY OF FLORIDA)

**REBUTTAL TESTIMONY OF
DAVID N. PORTER
ON BEHALF OF
MFS COMMUNICATIONS COMPANY, INC.**

David N. Porter
Vice President, Government Affairs
MFS COMMUNICATIONS
COMPANY, INC.
3000 K Street, N.W., Suite 300
Washington, D.C. 20007
(202) 424-7709

Lawrence Freedman
Morton Posner
SWIDLER & BERLIN, Chartered
3000 K Street, N.W., Suite 300
Washington, D.C. 20007
(202) 424-7500
Fax (202) 424-7645

Attorneys for
MFS COMMUNICATIONS COMPANY, INC.

Dated: August 22, 1996

**BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION**

In the matter of)
)
MFS COMMUNICATIONS COMPANY,)
INC.)
)
Petition for Arbitration Pursuant to)
47 U.S.C. § 252(b) of Interconnection Rates,)
Terms, and Conditions with)
)
SPRINT UNITED-CENDEL OF FLORIDA,)
INC. (also known as CENTRAL TELEPHONE)
COMPANY AND UNITED TELEPHONE)
COMPANY OF FLORIDA)

Docket No. 960838-TP

**REBUTTAL TESTIMONY OF
DAVID N. PORTER
ON BEHALF OF
MFS COMMUNICATIONS COMPANY, INC.**

Contents

INTRODUCTION AND SUMMARY	4
I. COSTING REQUIREMENTS OF THE FCC'S INTERCONNECTION ORDER	6
II. SPRINT'S COST STUDIES AND ANALYSES DO NOT CONFORM WITH THE FCC'S COSTING REQUIREMENTS	12
A. Sprint's Cost Studies are Fatally Flawed	12
B. Applying the FCC's Proxy Cost Ceiling to Sprint	20
III. RECOMMENDATIONS	21
Exhibit ___ (DNP-1) <i>Summary of the Costing Requirements from the FCC's Interconnection Order</i>	
Exhibit ___ (DNP -2) <i>Summary of FCC's Interconnection Orders</i>	
Exhibit ___ (DNP-3) <i>Loop Rate Deaveraging Methodology</i>	

REBUTTAL TESTIMONY OF
DAVID N. PORTER
ON BEHALF OF
MFS COMMUNICATIONS COMPANY, INC.

*Adopted by
HARRIS*

1 Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

2 A. My name is David N. Porter. My business address is MFS
3 Communications Company, Inc. ("MFS"), 3000 K Street, N.W., Suite
4 300, Washington, D.C. 20007.

5
6 Q. BY WHOM ARE YOU EMPLOYED AND WHAT ARE YOUR
7 RESPONSIBILITIES?

8 A. I am the Vice President of Government Affairs for MFS. I work with
9 senior managers of MFS and its subsidiaries to develop positions in
10 public policy discussions before state, federal and international
11 regulatory and legislative bodies. I oversee MFS filings before the
12 Federal Communications Commission ("FCC"), coordinate MFS'
13 Congressional activities, advise on certain state proceedings and,
14 recently, have collaborated on our ongoing interconnection
15 negotiations driven by the Telecommunications Act of 1996 that was
16 signed by the President of the United States on February 8, 1996.

17

1 **Q. PLEASE SUMMARIZE YOUR EDUCATIONAL BACKGROUND AND**
2 **PROFESSIONAL EXPERIENCE.**

3 **A.** I graduated from the University of Illinois in 1968 with a Bachelor of
4 Science degree in General Engineering and from Roosevelt
5 University, Chicago, and in 1974 with a Masters in Business
6 Administration. I am Registered as a Professional Engineer in Illinois,
7 New Jersey and New York.

8 I began my telecommunications career in 1967 as an engineer
9 for Illinois Bell. After assignments in traffic, outside plant, local and
10 toll central office and toll facility engineering, I assumed duties as a
11 service cost engineer responsible for designing and completing cost
12 studies to support Illinois Bell rate filings and for establishing the price
13 of equipment, land and buildings to be sold to or purchased from
14 customers and other utilities. In 1976, I transferred to AT&T and was
15 responsible for supervising numerous studies being completed by
16 academicians and scientists intended to demonstrate the technical
17 and economic harms of interconnecting competing communications
18 networks and equipment. Later, I worked on the AT&T team that
19 negotiated and implemented the breakup of the Bell System. For two
20 years following AT&T's divestiture of BellSouth and the other Bell

1 Operating Companies in 1984, I managed the state and federal
2 regulatory activities for AT&T Information Systems including its
3 attempts to gain state approvals to offer shared tenant services. After
4 that assignment, I was responsible for creating certain AT&T
5 responses in the first triennial review of the Modification of Final
6 Judgment. In the late 1980's, I was responsible for developing policy
7 positions related to state regulatory issues and for managing AT&T's
8 intrastate financial results. For several years thereafter, I advocated
9 AT&T's interests at the FCC on matters concerning enhanced services
10 and wireless services including spectrum management issues. Prior
11 to assuming my current duties I was Director - Technology and
12 Infrastructure responsible for advocating AT&T's interests with
13 Members of Congress, the FCC and their staffs on technical matters
14 surrounding local exchange competition.

15 During the past several years, I traveled in eastern and central
16 Europe and South America with employees of the U.S. State
17 Department and the U.S. Department of Commerce as their industry
18 representative at bilateral and other meetings during which the U.S.
19 encouraged other governments to adopt laws and policies that would
20 foster telecommunications development and competition. I have

1 conducted multi-day training sessions for State Department embassy
2 trade personnel worldwide. I have spoken before many state
3 regulatory and legislative bodies and have attended and made
4 presentations to numerous industry meetings and training sessions.
5

6 INTRODUCTION AND SUMMARY

7 ~~Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?~~

8 ~~A. My testimony analyzes the unbundled loop cost studies presented by
9 Sprint United-Centel of Florida's ("Sprint") witness James Dunbar and
10 the costing testimony presented by Sprint's witness Randy Farrar and
11 generally presents MFS's position with regards to the costing evidence
12 presented by Sprint. In particular, my testimony summarizes and
13 compares the pricing and costing requirements for unbundled network
14 elements presented in the FCC's recently released Interconnection
15 Order^{1/} with the methodology Sprint uses in its cost studies. Because
16 of the immediate impact of FCC's Interconnection Order on the pricing
17 provisions of this agreement and the size and complexity of the FCC's~~

^{1/} Implementation of the Local Competition Provisions in the Telecommunications Act of 1996, First Report and Order, CC Docket 96-98 (released August 8, 1996). Hereafter cited as "Interconnection Order" The rules implementing the FCC's decision are cited as "FCC Interconnection Rules §51.xxx."

1 Interconnection Order, I have included with my testimony a summary
2 of the FCC costing requirements, Exhibit ___ (DNP-1). The summary
3 reflects my understanding of the requirements of the FCC's
4 Interconnection Order with respect to pricing and costing of
5 interconnection and unbundled network elements. I have also
6 included a summary of the entire Interconnection Order as Exhibit ___
7 (DNP-2).

8
9 **Q. PLEASE SUMMARIZE YOUR CONCLUSIONS AND**
10 **RECOMMENDATIONS.**

11 A. The costing methodologies proposed by Sprint do not comply with the
12 requirements established by the FCC. Until Sprint develops (and the
13 Florida Commission approves) cost studies that do conform with the
14 FCC's costing requirements, the Florida Commission should apply the
15 default proxy cost ceilings established by the FCC for arbitrated
16 interconnection agreements. Specifically, the Florida Commission
17 should apply the proxy cost standard prescribed by the FCC for
18 Florida for unbundled loops. Applying data from Sprint's Benchmark
19 Cost Model to the FCC's proxy cost ceiling implies that Sprint's
20 average unbundled loop rate should be no higher than \$9.39 per

1 unbundle loop per month disaggregated into at least three
2 geographic zones. Because the cost studies described by Randy
3 Farrar do not comply with the requirements set out in the FCC's
4 Interconnection Order, the Florida Commission should also apply the
5 default proxy cost rates established by the FCC for tandem switching
6 and transport rather than the rates proposed by Sprint.

7
8 **I. COSTING REQUIREMENTS OF THE FCC'S INTERCONNECTION**
9 **ORDER**

10
11 **Q. PLEASE DESCRIBE THE COSTING STANDARD THE FCC SET**
12 **OUT IN ITS INTERCONNECTION ORDER.**

13 A. As I describe in Exhibit 8 (DNP-1), the FCC adopted a pricing
14 standard for interconnection and unbundled network elements that is
15 intended to emulate the cost-based pricing of a competitive market.^{2/}
16 When state commissions arbitrate interconnection agreements, the
17 FCC requires that they establish the incumbent's prices for
18 interconnection and access to unbundled network elements based on
19 "economic costs."

^{2/} Interconnection Order at ¶679.

1 Recognizing that it may not be possible for supporting cost
2 studies to be performed, analyzed and adopted by states within the
3 statutory time frames set out to resolve interconnection arbitrations,
4 the FCC adopted a variety of proxy cost price ceilings for unbundled
5 local loops and other unbundled network elements. States were
6 directed to use these proxy cost ceilings in the interim until estimates
7 of economic costs were developed and approved by states. States
8 are free to set interim rates below the proxy cost ceiling. States are
9 also directed to geographically deaverage unbundled loop prices by
10 establishing at least three cost-based zones so that the average over
11 all the zones is less than the proxy cost ceiling established by the FCC
12 for the state.

13
14 **Q. DO THE PROXY COST CEILINGS ESTABLISHED BY THE FCC**
15 **APPLY TO INDIVIDUAL COMPANIES?**

16 **A.** No. As described in Exhibit 8 (DNP-1), the FCC developed the
17 proxy cost ceilings based on state-wide data drawn from proxy cost
18 models and combined with statewide and national average data.
19 Plainly, the proxy cost ceilings developed by the FCC are not specific
20 to any single company, but represent state-wide averages.

1 Q. HOW DID THE FCC DEFINE "ECONOMIC COSTS"?

2 A. The FCC defines "economic costs" as the sum of Total Element Long
3 Run Incremental Costs (TELRIC) of providing each network element
4 plus a reasonable allocation of forward-looking common costs related
5 only to the provision of each network element.²⁷

6
7 Q. HOW DID THE FCC DEFINE TELRIC?

8 A. TELRIC are the forward-looking costs over the long run of the facilities
9 and functions that are directly attributable to a particular element.
10 Generally speaking, TELRIC has three major components -- operating
11 expenses, depreciation cost and the appropriate risk-adjusted cost of
12 capital associated with the assets used to provide the unbundled
13 network element.²⁸ In addition, the FCC specified several aspects of
14 TELRIC, including:

15 • **Efficient Network Configuration.** TELRIC is properly
16 estimated assuming the most efficient telecommunications
17 technology available and the least-cost network configuration

²⁷ FCC Interconnection Rules §51.505(a).
Interconnection Order at ¶ 703.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17

given the existing location of the incumbent provider's wire centers.^{5/}

▶ **Forward-looking Cost of Capital.** TELRIC is calculated using a forward-looking cost of capital that presumably projects market growth, increased competition and other factors that affect risk and return. The cost of capital in TELRIC is what investors must be paid to induce them to invest in the assets used to provide the unbundled network element. In a sense, it is the profit or return associated with the unbundled network element.^{6/}

▶ **Depreciation.** TELRIC is calculated using forward-looking economic depreciation rates. Depreciation in a TELRIC study is economic depreciation which measures the expected change in the economic value of assets used to provide the unbundled network element.^{7/}

▶ **Directly Attributable Costs.** TELRIC includes all costs and only those costs that are directly attributable to or caused by a

^{5/} Interconnection Order at ¶ 682.

^{6/} Interconnection Order at ¶¶ 699-700.

^{7/} Interconnection Order at ¶ 703.

1 particular unbundled network element. Retailing costs,
2 marketing expenses, billing and collection costs, and all other
3 costs associated with retail offerings cannot be included in the
4 directly attributable costs of an unbundled network element.
5 The FCC also requires that an incumbent carrier's cost study
6 must explain why or how a specific function included in a
7 TELRIC estimate is necessary to provide a particular element.^{8/}

8 ▶ ***No Embedded Costs, Universal Service Support or***
9 ***Opportunity Costs.*** The FCC expressly prohibits the use of
10 embedded costs or costs incurred by the incumbent carrier in
11 the past as the basis for TELRIC.^{9/} The FCC also prohibits the
12 inclusion of universal service subsidies or opportunity costs
13 (i.e., the revenues the incumbent carrier expected to earn but
14 for offering a particular unbundled network element).^{10/}

15
16 Q. HOW DOES THE FCC DEFINE A REASONABLE ALLOCATION OF
17 COMMON COSTS?

^{8/} Interconnection Order at ¶¶ 682, 691 and FCC Interconnection Rules §51.505(d)

^{9/} Interconnection Order at ¶¶ 704-707.

^{10/} Interconnection Order at ¶¶ 708-711, 713.

1 A The FCC indicated that a reasonable allocation of forward-looking
2 common costs would be determined by each carrier subject to
3 approval by state commissions. In general, it held that the common
4 costs to be allocated were the common costs of offering unbundled
5 network elements and not the common costs associated with retail
6 activities.^{11/} The FCC indicated that reasonable allocation
7 methodologies might include a fixed allocator (i.e., a uniform
8 percentage markup applied over TELRIC for all unbundled network
9 elements) or an allocation of a small percentage of common costs to
10 critical unbundled network elements. The FCC indicated that a
11 Ramsey pricing method (i.e., high allocations of common costs to
12 elements with low elasticities) is an unreasonable allocation
13 methodology.^{12/} Further, the FCC required that the sum of the TELRIC
14 and the reasonable allocation of common costs should not exceed the
15 stand-alone costs of the unbundled network element (i.e., the costs
16 that an efficient firm would incur if it produced only the unbundled
17 element in question).^{13/} The FCC also required that the sum of the

^{11/} Interconnection Order at ¶694.

^{12/} Interconnection Order at ¶ 696.

^{13/} FCC Interconnection Rules § 51.505(c)(2)(A).

1 common costs associated with unbundled network elements (as
2 common costs are defined by the FCC) should not exceed the total
3 common costs associated with unbundled network elements.
4

5 **II. SPRINT'S COST STUDIES AND ANALYSES DO NOT CONFORM**
6 **WITH THE FCC'S COSTING REQUIREMENTS**
7

8 **A. Sprint's Cost Studies are Fatally Flawed**

9 **Q. DO SPRINT'S LOOP COST STUDIES FOR FLORIDA COMPLY**
10 **WITH THE FCC'S COST STANDARD FOR UNBUNDLED NETWORK**
11 **ELEMENTS?**

12 **A.** Absolutely not. There are a host of fatal problems associated with
13 using the Benchmark Cost Model (BCM) presented by Mr. Dunbar as
14 an estimate of economic costs:

- 15 • ***The BCM is not intended to estimate the costs of***
16 ***unbundled elements.*** As Mr. Dunbar indicates in his
17 testimony, the BCM estimates the cost of an entire service --
18 namely residential local service¹⁴ -- and is not designed to
19 estimate the economic costs of various unbundled network

¹⁴ Testimony of James Dunbar on Behalf of United Telephone Company,
pg. 7 (Aug. 12, 1996).

1 elements. The BCM was initially designed to identify high-cost
2 service areas in the context of defining appropriate universal
3 service support and was never intended to develop forward-
4 looking estimates of the costs of unbundled network elements.
5 However, to the extent that the BCM is an estimate of the
6 economic costs of an entire service, it obviously creates a cost
7 ceiling for the economic costs of an unbundled network
8 element. Said differently, the economic costs of unbundled
9 loops, a component of residential telephone service, cannot be
10 greater than the economic costs of residential service which
11 includes loops as a component.

12 • ***The Florida Commission cannot be certain what the***
13 ***updated BCM presented by Sprint measures.*** The BCM
14 model is grossly complex, and it is nearly impossible to
15 determine and analyze all of the "simplifying" assumptions
16 embedded in the model. The BCM, for example, allows users
17 to specify 57 different numerical assumptions that affect the
18 results of the model and the data used as input for the BCM
19 model requires a CD-ROM for computer storage. The model
20 consists of about 360 variable inputs, more than 20 tables with

1 170 calculations and a spreadsheet with more than 160
2 calculations for each census block. As a practical matter, the
3 Florida Commission has no way to check the validity or
4 accuracy of the data employed or the calculations absent
5 simply trusting Mr. Dunbar. The BCM that Mr. Dunbar sponsors
6 in this proceeding is actually an update of an earlier version of
7 the same model. It is interesting to note that when Sprint first
8 released the BCM, it reported national average loop and
9 switching costs of \$23.04, but the BCM 2 that Mr. Dunbar
10 sponsors yields national average loop and switching costs of
11 \$29.98, an increase of about 30%. Such a large increase
12 hardly seems reasonable, and implies that the BCM results Mr.
13 Dunbar sponsors are unstable and unreliable.

14 ***The BCM does not develop an estimate of common costs***
15 ***(as defined by the FCC) or allocate those costs among all***
16 ***unbundled network elements.*** Certainly, the model employs
17 technologies that are common among various network
18 elements. For example, the feeder technologies are used by all
19 types of loops. However, it is unclear whether the model's
20 allocation of common costs complies with the FCC's

1 requirements. For example, the FCC requires that the TELRIC
2 and the allocation of stand-alone costs be less than stand-
3 alone costs. The BCM does not produce a stand-alone cost
4 estimate, so it is impossible to determine whether it complies
5 with this requirement. Also, the model does not develop an
6 estimate of total common costs, so it is impossible to determine
7 whether the allocation used in the model exceeds total common
8 costs, or whether the allocation is in any way consistent with the
9 pro-competition requirements of the Telecommunications Act.

10 **The BCM does not develop an estimate of forward-looking**
11 **costs since it is based on current equipment prices and**
12 **currently deployed technologies rather than the**
13 **technologies and prices might be anticipated.** The BCM
14 uses depreciation levels and rates embedded in incumbent
15 carriers' practices and make no attempt to develop an estimate
16 of the change in the economic value of assets used to provide
17 unbundled local loops. Other than simply assuming the
18 depreciation rate embodied in ARMIS data, the BCM fails to
19 provide any analysis of the economic depreciation associated
20 with the assets used to provide unbundled network elements as

1 required by the FCC. Likewise, the BCM assumes a cost of
2 capital (11.25%), but does not provides an analysis or objective
3 estimate of the forward-looking, risk adjusted cost of capital as
4 required by the FCC.

5 • ***The BCM fails to provide usable definitions of the***
6 ***geographic zones that might be used for a cost-based***
7 ***geographic deaveraging of prices.*** The FCC requires that
8 state commissions geographically deaverage prices for
9 interconnection and unbundled network elements by
10 establishing zones that reflect differences in economic costs.
11 While the BCM develops costs by the physical characteristics
12 of census blocks, it makes little sense to establish 226,000 cost
13 "zones" throughout the United States.

14 • ***The BCM includes embedded costs when it develops its***
15 ***ARMIS-based factors used to annualize loop investments.***
16 The FCC specifically excludes the embedded costs of
17 incumbent providers from the development of TELRIC. Using
18 ARMIS-based factors to develop mark-ups uses the embedded
19 costs (revenue requirements) of incumbent providers as the

1 basis for annualizing loop investments rather than a forward-
2 looking, incremental methodology as required by the FCC.
3 *The BCM develops estimates of switching costs and*
4 *combines it with loop costs, but fails to develop a separate*
5 *estimate of the line-side and trunk-side port costs*
6 *associated with switching as required by the FCC.* It is not
7 clear, for example, whether the line side port costs (which the
8 FCC indicated should be recovered with a per line charge) are
9 bundled with the loop costs reported in the BCM or the
10 switching costs. Since the model was not designed to estimate
11 the incremental costs of unbundled network elements, such a
12 breakdown would have been unnecessary from Mr. Dunbar's
13 vantage and thus, excluded from the model.

14
15 **Q. DOES THE COST STUDY DESCRIBED BY MR. FARRAR COMPLY**
16 **WITH THE REQUIREMENTS ESTABLISHED BY THE FCC FOR**
17 **UNBUNDLED NETWORK ELEMENTS AND INTERCONNECTION?**

18 **A.** No. Again, Mr. Farrar's study appears to have been designed for
19 another purpose -- to estimate the Total Service Long Run Incremental
20 Cost -- rather than to develop estimates that conform with the FCC's

1 requirements. In particular, Mr. Farrar's study suffers from at least the
2 following major deficiencies:

3 ***The allowance for joint and common costs (15%) is***
4 ***completely arbitrary.*** The FCC allows for a reasonable
5 allocation of common costs (as common costs are defined and
6 limited by the FCC), including a fixed allocator. However,
7 Sprint is not proposing to calculate its total joint and common
8 costs and allocate an equal proportion among its unbundled
9 network elements. It is simply adding 15% to its estimate of
10 incremental costs. Such a methodology virtually guarantees
11 the over-recovery of common costs that the FCC indicated was
12 not allowed in pricing unbundled network elements.

13 ***The Florida Commission cannot determine how Mr. Farrar***
14 ***develops his costs.*** The cost study sponsored by Mr. Farrar
15 is presented in the highest level of generality that conceal
16 critical assumptions. For example, Mr. Farrar describes the
17 conversion process for translating busy-hour (peak load)
18 investments into monthly costs as follows:

19 There are two steps. First, each cost function
20 (traffic sensitive, processor set-up, and SS7 set-
21 up) is multiplied by an annual charge factor to
22 determine an annual revenue requirement.

1 Second, the annual amount is divided by 12 to
2 determine a monthly amount.^{15/}
3

4 Mr. Farrar fails to describe how that annual charge factor is
5 developed or what it includes. Similarly, he describes his
6 "analysis" of unbundled transport in conclusory terms that yield
7 absolutely no insight into how the figures were developed. For
8 example, he described the development of the costs of
9 transport capacity as "[t]he cost per DS1 is equal to the utilized
10 engineered, furnished and installed (EF&I) unit cost of each
11 component, divided by its DS1 capacity."^{16/} That "description" of
12 costs boils down to a tautology -- "the costs are the costs" --
13 rather than providing any insight into how Sprint developed its
14 transport costs. From reading Mr. Farrar's description of
15 Sprint's cost studies, the Florida Commission simply cannot tell
16 whether the costs he develops are the forward-looking costs of
17 an efficient competitor and an efficient network configuration as
18 required by the FCC or whether they are Sprint's costs.
19

^{15/} Testimony of Randy Farrar on Behalf of United Telephone Company
of Florida at pg. 8 (August 12, 1996).

^{16/} Testimony of Randy Farrar on Behalf of United Telephone Company
of Florida at pg. 9 (August 12, 1996).

1 **B. Applying the FCC's Proxy Cost Ceiling to Sprint**

2 **Q. WHAT CAN A STATE COMMISSION OR ARBITRATOR DO IF THE**
3 **INCUMBENT PROVIDER HAS NOT PERFORMED THE COST**
4 **STUDIES REQUIRED BY THE FCC?**

5 **A.** The FCC specified several proxy cost ceilings and ranges that state
6 regulators and arbitrators are directed to apply in the interim until the
7 incumbent performs the cost studies required by the FCC. In Florida,
8 the statewide proxy cost ceiling for unbundled local loops is \$13.68
9 per line per month. Since this is a price ceiling, incumbent carriers,
10 arbitrators and state commissions are free to establish rates based on
11 a lower average cost, but not higher. It is important to emphasize that
12 the FCC also ordered that the prices for unbundled network elements
13 be geographically deaveraged into at least three zones to reflect cost
14 differences between the zones.^{17/} The proxy cost is the weighted
15 average of these disaggregated costs, so the \$13.68 per line per
16 month proxy cost ceiling for Florida should be the average over at
17 least three geographic zones.^{18/}

18

^{17/} Interconnection Order at ¶¶ 764-765.

^{18/} Interconnection Order at ¶ 784.

1 ~~Q. ARE THERE ANY ADJUSTMENTS THE FLORIDA COMMISSION~~
2 ~~SHOULD MAKE TO THIS AVERAGE LOOP COST?~~

3 A. Yes. In his testimony, Mr. Dunbar indicates that based on his BCM
4 model, the average loop costs for the Maitland/Winter Park area is
5 \$20.01. The average cost for the entire state of Florida, according to
6 Mr. Dunbar's BCM model, is \$29.15,¹⁹ which implies that loop costs in
7 Sprint's service territory in Florida are 31% lower than the rest of the
8 state. Applying this proportion to the FCC's statewide average proxy
9 cost ceiling means that Sprint's average loop rates must be no higher
10 than \$9.39, averaged over all the geographic zones served by Sprint.

11
12 **III. RECOMMENDATIONS**

13 **Q. WHAT DOES MFS RECOMMEND?**

14 A. The Florida Commission should develop interim unbundled loop rates
15 using the proxy cost for unbundled local loops until Sprint and all other
16 incumbent local carriers in the state have developed cost studies that
17 comply with the FCC's requirements and this Commission has
18 reviewed and approved those cost studies. To comply with the

¹⁹ Benchmark Cost Model: A Joint Submission by Sprint Corporation and US West, Inc., at pg. 67 (July 3, 1996).

1 immediate need to meet the interim geographic deaveraging
2 requirement and recognizing that local carriers in many jurisdictions
3 have testified that loop length is the only significant variable in
4 determining loop costs, the Florida Commission should require each
5 incumbent local carrier to identify the average loop length for each of
6 its serving wire-centers and the number of working loops in each wire
7 center, which is readily available data. Armed with this data, the
8 Commission can quickly group wire-centers into zones by loop length;
9 compute the average length and total loops in each zone; and, using
10 this data, determine loop costs by zone surrounding the FCC proxy
11 cost ceiling.*Having satisfied the immediate need, the Commission
12 should then order each incumbent LEC to develop its forward looking
13 loop costs. The Commission can then conduct the appropriate
14 investigations at its own schedule and modify the interim loop rates as
15 needed to comply with the then available forward-looking cost studies.
16 My recommendation regarding deaveraging loops by loop length is
17 shown in Exhibit 8 (DNP-3).

18
19 **Q. HOW SHOULD THE GEOGRAPHIC ZONES BE DEFINED?**

*Sentence added per TR p.145 as follows:

We have performed a deaveraging analysis of the proxy based on input data from the BCM which is contained in Exhibit 5.

1 A. As shown in Exhibit 8 (DNP-3), the zones should be defined by
2 clustering wire-centers based on the average loop length in each wire-
3 center, *e.g.*, all wire-centers having similar average loop lengths
4 should be grouped together. Although we each might suggest other
5 metrics such as average loop length by household or by census block
6 group, average loop length by wire-center is the correct metric for
7 several reasons. First, it matches the standard imposed by the FCC
8 for TELRIC studies based on forward looking technologies, but current
9 wire-centers. Second, it uses the same reference as is used for
10 current tariffs and billing systems. Most importantly, it is a concept
11 that consumers are most likely to understand because it also is co-
12 terminous with current telephone numbering systems. When the
13 Commission has gathered the loop length by wire-center data, it
14 should be able to cluster the wire-centers based on inspection or by
15 using statistical grouping techniques. In either event, the Commission
16 should strive to have zones each aggregating a similar number of
17 loops, for example, in a three zone system, no zone should consist of
18 less than 25% nor more than 50% of the total loops.

19

1 Q. DO YOU HAVE OTHER CONCERNS CONCERNING LOOP
2 PRICING?

3 A. Yes, I am concerned about the price of cross-connect facilities
4 between Sprint and MFS equipment and frames.
5

6 Q. PLEASE EXPLAIN.

7 A. The FCC defines the loop network element "as a transmission facility
8 between a distribution frame, or its equivalent, in an incumbent
9 carrier's central office, and the network interface device at the
10 customer premises."^{20/} This definition specifically does not include the
11 cross-connection necessary to deliver the loop from the distribution
12 frame to MFS' collocated equipment. Although the FCC requires the
13 incumbent carrier to provide the cross-connection and establishes the
14 costing standard^{21/}, it neither defined the cross-connection as a
15 network element nor established proxy rates for the cross-connection.
16 Since the loop is almost useless without the cross-connection, MFS
17 requests that this Commission declare the cross-connection to be a
18 network element and require Sprint to develop a TELRIC based rate

^{20/} Interconnection Order at ¶380.

^{21/} Interconnection Order at ¶386.

1 for this element. Until the required study is complete, MFS
2 recommends this Commission adopt a rate no higher than \$0.21 per
3 month per cross-connection as its interim rate. This is the tariffed rate
4 filed with the Illinois Commerce Commission for the same network
5 element based on a cost study submitted by Ameritech.^{22/}
6

7 **Q. HOW SHOULD UNBUNDLED TRANSPORT RATES BE**
8 **ESTABLISHED?**

9 A. ~~Sprint's transport cost study provides absolutely no information that is~~
10 ~~useful or relevant to determining the economic cost of transport.~~ MFS
11 recommends that the Florida Commission implement the default
12 proxies for transport as described in Exhibit 8 (DNP-1).
13

14 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

15 A. Yes, it does.

167568.10

^{22/} Ameritech-Illinois Tariff, ILL. C. C. NO. 15, Original Page 876.20.5

1 CHAIRMAN CLARK: Now with respect to the
2 exhibits, does that, those remaining to be part of the
3 Composite Exhibit are 1, 3, 4, 5 and 6, would that be
4 correct?

5 MR. RINDLER: Yes, ma'am.

6 CHAIRMAN CLARK: Okay. DNP-1, 3, 4, 5, and 6
7 will be marked as Exhibit 8. Okay. I think that does it.

8 BY MR. RINDLER:

9 Q Mr. Harris, do you have a summary of your
10 testimony?

11 A Yes.

12 Q Could you provide it at this time?

13 A Good afternoon, Madam Chairman, Commissioners,
14 Staff, and Parties. On August 8, 1996, the FCC released
15 its interconnection order and rules which are intended to
16 implement Sections 251 and 252 of the Communications Act of
17 1934 as amended by the Telecommunications Act of 1996.

18 Among many other points in this order, the FCC
19 describes network elements and a precise pricing standard
20 for this Commission to apply should these issues come
21 before it in an arbitration proceeding. Specifically, all
22 unbundled network elements are to be priced on an economic
23 cost basis. The FCC defines economic cost as the sum of
24 total element long-run incremental cost of providing each
25 network element, TELRIC, plus a reasonable allocation of

1 forward-looking common costs related only to the provision
2 of the network element.

3 In this arbitration proceeding, this Commission
4 must decide what loop rates should be established. Until
5 there is a TELRIC study, the FCC has established an interim
6 statewide price cap for loops to be applied by this
7 Commission. Sprint acknowledges that it does not have
8 studies that satisfy the FCC TELRIC standards. Until
9 Sprint provides a proper cost study, this Commission must
10 set an interim rate by November 8th, 1996. Based on the
11 FCC's interconnection rules and information this Commission
12 has or can readily obtain, I don't believe this will be a
13 particularly difficult job.

14 The FCC has established a statewide average proxy
15 ceiling of \$13.68 for unbundled loops in Florida. This is
16 the rate that this Commission is to apply in the absence of
17 TELRIC data. The rate is only a statewide average,
18 however, and it has to be aggregated into geographically
19 deaveraged zones and has to reflect the existence of
20 independent telephone companies such as Sprint as well as
21 the other carriers, incumbent LECs in the state.

22 To comply with the immediate need to meet the
23 interim geographic deaveraging requirement and recognizing
24 that loca. carriers in many jurisdictions have testified
25 that loop length is the most significant variable in

1 determining loop costs, the Commission should either
2 require Sprint and other incumbent local exchange carriers
3 to identify the average loop length for each of their
4 serving wire centers and the number of loops in each wire
5 center or use readily available loop length data.

6 In this case the use of loop length data
7 contained in the benchmark cost model contains this data.
8 Armed with this data, the Commission can quickly group wire
9 centers by loop length and total loops in each length to
10 establish zones. Using this data and the proxy ceiling
11 that the FCC has established, this Commission can establish
12 deaveraged geographical prices. The geographic zones
13 should be defined by clustering the wire centers based on
14 the average length; that is, all wire centers that have
15 similar average lengths should be grouped together. This
16 method matches the standard imposed by the FCC for TELRIC
17 studies based on forward-looking costs by current wire
18 center. It is also consistent with current tariffs and
19 billing systems and uses the method most likely to be
20 identifiable by the public.

21 It is my opinion that if you determine to use a
22 three-zone system you should have zones consisting of
23 roughly 25 to 50 percent of loops in each zone. In other
24 words, wire centers don't have to be evenly distributed,
25 but neither should they have zero loops or one hundred

1 percent of loops in any zone. Using the BCM data and the
2 FCC proxy for Florida, I have calculated that rates for
3 Zone 1 should be \$7.56; for Zone 2, \$11.56, and for Zone 3,
4 \$22.54.

5 I recognize that the Commission, Sprint and MFS
6 are all attempting to implement the FCC's rules for the
7 first time. What I propose I believe is a relatively
8 simple and accurate means to calculate interim loop costs
9 by zones. Thank you.

10 MR. RINDLER: Madam Chairman, the witness is
11 available for cross examination.

12 CHAIRMAN CLARK: Thank you. Mr. Fons.

13 MR. FONS: Thank you.

14 EXAMINATION

15 BY MR. FONS:

16 Q Mr. Harris I'm John Fons representing Sprint. I
17 understand that you're Tim Devine's supervisor?

18 A Yes, I am.

19 Q I've always wanted to meet somebody who would
20 supervise Tim Devine.

21 A So should I.

22 Q Let me ask you a couple of questions about some
23 things that Mr. Devine, your subordinate, said that you
24 will handle for him. The first one is the cross connect,
25 and I believe in your testimony at page 24 you talk about

1 the cross connect, and let's just make certain what we are
2 talking about here. Is the cross connect that we are
3 talking about a facility between the frame in the Sprint
4 central office or the MFS central office to MFS's
5 collocated facilities or Sprint's collocated facilities?

6 A In this context, as we've defined it in the
7 agreement, it would be in the facility in the Sprint wire
8 center between the Sprint frame and the MFS collocation
9 facility.

10 Q Okay. And that could be a jumper cable, could it
11 not?

12 A Often times, yes.

13 Q And this is the facility that you are requesting
14 under unbundled facilities; is that correct?

15 A Correct. It's the means by which we can access
16 the unbundled loop.

17 Q And Sprint has agreed to provide you with that
18 unbundled cross connect, isn't that correct?

19 A I don't recall if there is specific language to
20 that effect, but it's the understanding that they would
21 provide it, yes.

22 Q And the only issue that we are talking about this
23 afternoon or in this arbitration is the price to be paid
24 for that cross connect?

25 A Yes.

1 Q And as I understand it, the FCC did not establish
2 a proxy for that facility?

3 A I'm not aware of a specific rate having been set
4 for that facility.

5 Q And you have proposed a rate based upon some rate
6 that was filed in Illinois by Ameritech?

7 A Yes.

8 Q And have you seen any cost studies to
9 substantiate that rate that was filed by Ameritech in
10 Illinois?

11 A I have not seen such studies.

12 Q And has Sprint offered as a proxy its tariffed
13 rate for a cross connect in its either collocation tariff
14 or its access tariff?

15 A I recall that they have, yes.

16 Q Okay. Now when does MFS plan to be in business
17 in Florida?

18 A Well, we are already in business, but we
19 anticipate the current agreement between MFS and Sprint
20 that we executed this morning calls for the
21 interconnections to be implemented by January 31, 1997.

22 Q And that would also include any unbundled loops
23 that MFS might would desire?

24 A That is correct.

25 Q And hasn't Sprint agreed that it will file a

1 TELRIC study in the near future to set the price for the
2 cross connect?

3 A They have. Yes, Sprint has committed to filing
4 their proposed studies that, then that would be before the
5 Commission. There would be a hearing and a proceeding to
6 determine rates.

7 Q And isn't it possible that before MFS needs any
8 cross connects that that TELRIC based price will have been
9 approved by this Commission?

10 A It is certainly possible. Our experience in
11 other places has been, however, that in a generic
12 proceeding many parties will have interests and it could
13 take longer than that.

14 Q But you're asking this Commission to approve as a
15 proxy a rate for which they have no cost analysis when
16 Sprint on the other hand is offered a rate that has been
17 filed with this Commission and the Commission has had the
18 opportunity to look at the rate, the cost support for that
19 rate and approve that rate?

20 A I would say I'm asking them to adopt a rate that
21 having been adopted by other LECs and other state
22 commissions might even be considered a market rate.

23 Q But that's not the rate that Sprint has filed in
24 Florida, is it?

25 A That's correct, it's not the rate Sprint has

1 filed.

2 Q I also believe that Mr. Devine has saddled you
3 with the discussion of the unbundled local loop, isn't that
4 correct?

5 A Well, I think that is part of my testimony.

6 Q Okay. And you have testified that part of the
7 agreement between Sprint and MFS is that Sprint will use
8 the FCC proxy for the unbundled local loop?

9 A We have agreed that the interim rate needs to be
10 based on the proxy. We disagree as to whether or not it
11 should be deaveraged.

12 Q This proxy that was established by the FCC, is
13 that proxy a cost-based rate?

14 A I believe the FCC believes it's an approximation
15 of a cost based -- of an economic cost of a loop. It was
16 derived through their comparison of a number of different
17 very high level studies.

18 Q The FCC views this, however, as purely an interim
19 rate?

20 A They view it as the rate that should guide the
21 state commissions until such time as TELRIC studies have
22 been filed and approved.

23 Q It certainly is not based on a TELRIC study, is
24 it?

25 A No, it is not.

1 Q And under the FCC's view, something that is not
2 based on TELRIC is not based on economic cost, is it?

3 A I wouldn't want to speak to what the FCC's view
4 is. I think that they view that this is a proxy for
5 economic cost until such time as a TELRIC study can be
6 approved.

7 Q You have proposed an exhibit, and I think it's
8 part of exhibit, Composite Exhibit 8, and it's -- just for
9 simplicity purposes, can we call it Attachment 5? Or I can
10 call it DNP-5 if that makes it clearer for you.

11 A That's fine.

12 Q Okay, DNP-5. Now DNP-5, is that an analysis that
13 you prepared?

14 A It was prepared under my joint supervision, and
15 it's based on a method that I had input into.

16 Q This DNP-5 is not addressed or described in your
17 rebuttal testimony, is it?

18 A It is with the addition I made during the
19 introduction. It was not because it was filed after the
20 original testimony was filed.

21 Q Okay. And in the original testimony, the
22 methodology that was being urged was contained in DNP-3, I
23 believe?

24 A That is correct.

25 Q And how does DNP-5 compare with DNP-3?

1 A The difference is in DNP-3 we recommended that as
2 one of the -- one of the inputs be the actual loop lengths
3 by wire center to be reported by the individual LECs in the
4 state. DNP-5 attempted to perform the analysis contained
5 in DNP-3 but to use loop length estimates drawn from input
6 data to the benchmark cost model.

7 Q Which version of the benchmark cost model?

8 A I believe this was drawn from the BCM, the
9 original BCM.

10 Q Not BCM 2, not the one --

11 A It's not my understanding that this particular
12 data would have changed all that much between the two.

13 Q And I believe that -- Let's turn to DNP-5, if
14 you would. And I believe that you've indicated you
15 established this on the basis of loop lengths; is that
16 correct?

17 A It attempts to derive an average loop length per
18 wire center based on input data from the BCM that set --
19 based on the distance between a given wire center and the
20 center most point of the census block, which was the unit
21 of measure in the BCM, and then to group those to their
22 associated wire centers; that was essentially how the BCM
23 also measured loop length.

24 Q Do you know whether the loop feet that you used
25 was airline miles or actual miles? I'm sorry, airline, on

1 an airline basis or on an actual basis?

2 A I'm not sure what you're saying, the difference
3 between airline and actual. It's the distance between the
4 center most point, the centroid of the census block and the
5 wire center.

6 Q And that is as the crow flies rather than the
7 actual way the loop actually traverses between the wire
8 center and the centroid?

9 A Yes, that would be as the crow flies.

10 Q Do you know whether the BCM uses the actual or
11 the airline?

12 A My understanding, since these distances were
13 drawn straight from the BCM, that that was an input. My
14 understanding is that it uses those same differences to
15 measure the difference between the centroid and the wire
16 center.

17 Q You don't know whether the BCM converts those
18 airline distances into actual distances?

19 A My recollection is that the BCM doesn't hold
20 anything constant in the existing network except the wire
21 center locations.

22 Q Is this -- the loop feet that you're showing
23 here, are these the loop feet as they exist today, or is
24 this the loop feet as they would exist in a reconstructed
25 network?

1 A As they would exist in a reconstructed network.

2 Q Turn to page 15 of 15 of your DNP-5. There you
3 show Zones 1, 2 and 3, and these are arrayed on the basis
4 of loop length, isn't that correct?

5 A Correct.

6 Q And you have the rates set forth there as 7.56,
7 \$11.85 cents and \$22.54?

8 A That is correct.

9 Q And these are the rates that you're asking this
10 Commission to adopt for Sprint/MFS?

11 A Yes, I am.

12 Q Now your analysis is a statewide analysis, isn't
13 it?

14 A Yes.

15 Q Would you have to do a separate analysis just for
16 Sprint?

17 A No. As a matter of fact, this entire thing
18 groups the wire centers by zone so that Pages 1 through 3
19 and then the first two lines on page 4 are all of the wire
20 centers in Zone 1, and then the remainder of page 4 through
21 the top of page 8 are Zone 2, and then the balance of the
22 pages are the wire centers in Zone 3 so that these would be
23 rates for all carriers in the state. And to determine the
24 rates at any specific Sprint wire center would merely to
25 look, to find it, how it's grouped in this spread sheet.

1 Q And what was the criteria that you used for
2 splitting the zones into 1, 2 and 3? What was your break
3 point?

4 A This is a point that reasonable people can easily
5 disagree. We looked at it -- we look at a rate out to see
6 how they fell out because, as you'll see, the final column
7 or the -- take that back. Oh, the column labeled Average
8 Loop Length, all the wire centers are sorted based on the
9 average loop length. We tried to look for natural break
10 points; no real significant natural break points appeared.
11 We had considered that to make reasonable zones we had
12 proposed that no zone have fewer than 25, no more than 50
13 percent. We didn't find any natural break points, so we
14 made a, you know, what is admittedly somewhat of an
15 arbitrary distinction and said, well, 30/40/30 seems a
16 natural break. You might -- you know, someone else might
17 look at this and reasonably move the zone boundaries up or
18 down to group them into different percentages, and that
19 would be reasonable. 30/40/30 seemed reasonable absent
20 some natural break points.

21 Q And it was your design here to try to aggregate
22 these wire centers according to their costs?

23 A We were trying to aggregate, you know, like costs
24 characteristics together. To some extent, you know, I
25 believe that, you know, what you wind up with is an average

1 across the zone. Anytime you are doing any kind of
2 grouping or averaging, you have to make some distinctions;
3 we made this distinction. It may be that by having more
4 than three zones you could wind up with different groupings
5 that might have some tighter correlations to the way they
6 fall out. This is -- you know, as I say, it's open to
7 some, you know, may be open to some refinement about how
8 you would group them, but we feel it's reasonable.

9 Q And I believe you've indicated that the only
10 criteria you used for estimating cost was loop length?

11 A That is correct.

12 Q Are there any other criteria that might be used?

13 A Well, generally in discussions in the industry
14 and what people have testified in other places, loop length
15 is considered the very strong overriding factor. However,
16 a second factor that is often also mentioned is loop
17 density, and it could be that you could take this same
18 spread sheet and add a second screen for loop density and
19 that you might say that the Zone 1 has to be loops of a
20 certain, not only of a certain average length but of a
21 certain minimal density, and that might be another
22 reasonable screen.

23 In general, looking down this, and there are
24 obvious exceptions, but in general density and length
25 appear to have some close correlation, but there are

1 exceptions where you'll have -- well, the very first one
2 for instance has a, you know, shorter loop lengths but a
3 very low density, and that would be somewhat of an
4 aberration. And those could be trimmed out very quickly
5 and easily.

6 Q And did you do a test for density? Did you do
7 that density screen?

8 A No, we didn't do that.

9 Q Is there any other criteria that is considered
10 for determining the cost by wire center?

11 A There are other criteria that have been
12 considered in other types of studies. As I say, generally,
13 in attempting to arrive at a proxy, the two overriding
14 criteria that are always mentioned, or the one that is
15 always mentioned as the overriding criteria is length, and
16 the second factor is density. Beyond that, other factors
17 may come into play, but they seem to be less, far less
18 significant.

19 Q Have you done any kind of sanity check to see
20 whether or not your proposed rates and the proposed zones
21 are reasonable?

22 A What do you mean by sanity check?

23 Q Have you run, have you determined whether or not
24 there are any aberrations other than the one we mentioned
25 where density -- there might be some anomalies as you call

1 them where density and length don't match up?

2 A No, I haven't.

3 Q Do you know how many wire centers you have in
4 this study for Sprint United-Centel?

5 A No. This is, this was -- The wire centers here
6 were pulled straight from the BCM model.

7 Q Okay.

8 A We did not, you know, try to get them grouped so
9 that Sprint came out in any one zone or anything like that.

10 Q Okay. And the rate you got them into the zones
11 though was by the loop length?

12 A Right.

13 Q Okay. Now if my arithmetic is right, I counted,
14 based upon your Exhibit DNP-1 -- yes, DNP, I guess it's 4,
15 I'm sorry, DNP-4, I've counted 101 Sprint wire centers.
16 Would you accept my math subject to check?

17 A Sure.

18 Q And of those 101 wire centers, I've determined,
19 based again upon your DNP-3, that 11 of those wire centers
20 are in Zone 1.

21 A Okay.

22 Q And that nine of them are in Zone 2.

23 A Okay.

24 Q And that 81 of them are in Zone 3.

25 A That may very well -- I'll tell you honestly

1 that I did not look to see how Sprint's offices came out.
2 We were looking to see how the overall would distribute.

3 Q Would you consider that to be a bizarre result?

4 A Not necessarily at all. It may reflect the
5 serving territory of Sprint.

6 Q So that if MFS were to order loops from Sprint,
7 in 81 of its wire centers it would be paying the rates that
8 you have recommended this Commission establish for Zone 3,
9 which I believe is \$22.14; is that correct?

10 A That is correct. We didn't screen this to see
11 how cheap we could get the rates for MFS.

12 MR. FONS: I have no further questions.

13 CHAIRMAN CLARK: Staff.

14 EXAMINATION

15 BY MR. BILLMEIER:

16 Q Mr. Harris, do you have the exhibit package? We
17 have in that something marked DNP-7. It is the transcript
18 of your deposition.

19 A Yes. Yes, I do.

20 Q Is that true and correct to the best of your
21 knowledge and belief?

22 A Yes, it is.

23 MR. BILLMEIER: Madam chairman, could we have
24 this marked?

25 CHAIRMAN CLARK: It will be marked as Exhibit 9.

1 BY MR. BILLMEIER:

2 Q I have a few questions about deaveraging.

3 A Certainly.

4 Q Do you believe that the FCC established a time
5 certain that geographically deaveraged rates must be in
6 place?

7 A I believe the Act sets the time certain based on
8 the arbitration and that the FCC requires that the proxy be
9 deaveraged in any of those arbitration cases.

10 Q Should geographic deaveraging apply when the
11 Commission uses default proxies?

12 A Yes, that's my testimony.

13 Q Okay. Do you have the FCC interconnection order?

14 A I do.

15 Q Could you look at Paragraph 784? When you find
16 that, could you read it, please?

17 A "The proxies that we establish represent the
18 price ceiling or price ranges for the particular element on
19 an averaged basis. In Section 7.B.3.C above, we require
20 that rates be set on a geographically deaveraged basis.
21 Consequently, states utilizing the proxies shall set rates
22 such that the average rate for the particular element in a
23 study area does not exceed the applicable proxy ceiling or
24 lie outside the proxy range."

25 Q Now does that support your -- I asked you before

1 should geographic deaveraging apply when the Commission
2 uses default proxies, and I believe you answered yes. Does
3 Paragraph 784 support that?

4 A I believe it does directly.

5 Q Okay. In the exhibit packet we have something
6 marked WEC-11. It's page 107 of that. It has some zone
7 density pricing tariffs from Sprint United.

8 A I'm sorry, what was the identifying number?

9 Q WEC-11.

10 CHAIRMAN CLARK: Mr. Fons, can we go ahead and
11 identify this exhibit so we can use it and then have
12 Mr. Cheek verify the document?

13 MR. FONS: Sure, that will be fine.

14 CHAIRMAN CLARK: Okay. We are going to mark
15 WEC-11 as Composite Exhibit 10.

16 Okay. Go ahead, Mr. Billmeier.

17 A I have the exhibit.

18 Q If this Commission adopts geographically
19 deaveraged rates for interconnection and unbundled
20 elements, should the Commission use these existing zones to
21 price interconnection and unbundled elements?

22 A Can you give me a page number for that exhibit?

23 Q It's what we have stamped page 107. It starts on
24 page 107.

25 A And you're asking should the Commission use the

1 zones. I don't see where the zones are identified.

2 Q At the bottom of page 108.

3 A To tell you the truth, I'm not sure what criteria
4 went into defining these zones, so I really can't, don't
5 feel I can answer that.

6 Q Well, would you agree that they are based on the
7 number of equivalent DS-1 circuits per wire center?

8 A I would accept that subject to check. I don't
9 know that that -- in that case I don't know that that would
10 be an accurate or an appropriate criteria for deaveraging
11 rates for local loops on a geographic basis since the
12 characteristics, the density of DS-1s out of a wire center
13 may not reflect the cost characteristics of the local loops
14 from a given wire center.

15 Q If Sprint does not have the data necessary to
16 compute average loop length per wire center, should this
17 Commission order Sprint to provide the information and set
18 up interim zones based on the existing zone structure
19 discussed in WEC-11?

20 A Well, I wouldn't base it on the zone structure
21 described in WEC-11, but certainly requiring the LECs to
22 provide their loop length data to perform an analysis as
23 proposed in DNP-3 would be acceptable to MFS; however, we
24 don't believe that that should just apply on a single LEC
25 basis because I believe the proxy that the FCC offers is a

1 statewide proxy, so it would need to -- or require all the
2 incumbent LECs to file their data and then to sort the wire
3 centers into zones.

4 Q Since this proceeding is just between MFS and
5 Sprint, how can this Commission set zones for all the
6 Florida LECs?

7 A Well, I don't know that they would necessarily
8 set binding zones for all the Florida LECs, but would
9 calculate the rates that Sprint would charge based on the
10 entire statewide loops. It may be that in each separate
11 proceeding involving each separate LEC you would have to
12 order the incumbent to accept the zone rates, but in this
13 case, you would use all the data from all the LECs to
14 determine what the zones are and which Sprint office falls
15 into which zone. In other words, you would sort Sprint's
16 offices out of the total universe of all the offices in the
17 state rather than just sorting them out of the universe of
18 just Sprint's offices; but the prices that you would order
19 as a result may only apply to Sprint as an administrative
20 matter.

21 Q Now I have a few questions on cross connect.

22 A Okay.

23 Q Is it your understanding of the FCC
24 interconnection order that the cross connect must be priced
25 according to the same standards as interconnection and

1 unbundled elements?

2 A I'm not aware that the FCC specifically
3 identified the cross connect as an unbundled element;
4 however, we are making a request for the cross connect to
5 be provided as an unbundled element. And to that extent,
6 then it's my belief that it needs to be provided according
7 to a TELRIC standard.

8 Q Does MFS propose that an interim rate be set for
9 cross connect, the cross connect element until Sprint can
10 provide appropriate TELRIC cost studies?

11 A Yes, we do.

12 Q What interim rate does MFS propose for the cross
13 connect element?

14 A On this point we have proposed -- we have looked
15 around the country and seen what, you know, what other rate
16 has been approved and what has been offered and allowed to
17 take effect, and we saw the rate that Ameritech had filed
18 in Illinois of 21 cents per cross connect, and we thought
19 that was a reasonable proxy given that it was voluntarily
20 offered up by another incumbent LEC, a very large incumbent
21 LEC and was accepted by another state commission and the
22 fact that this kind of thing should not be geographically
23 variable. It's an intraoffice facility. We are generally
24 talking about a jumper cable.

25 Q Could you turn to what is now Exhibit 10 or

1 marked as Exhibit 10, WEC-11? It's the last page, page
2 147.

3 A Yes.

4 Q All right. This is a page from United's
5 intrastate virtual collocation tariff. It contains the
6 rates for DS-0, DS-1 and DS-3 cross connects.

7 A I see that.

8 Q What is your opinion as to the appropriateness of
9 these as interim rates?

10 A I'm not sure how these rates were set or on what
11 basis. My recollection is that the federal access -- the
12 federal rates for cross connect were based on the embedded
13 cost methods that were previously in use at the FCC, and
14 that in the states in the interconnection tariffs, the LECs
15 tended to try to mirror those rates in the state tariffs.
16 I'm not -- beyond that I don't really know how this rate
17 was arrived at, but it does seem high.

18 MR. BILLMEIER: Thank you, Mr. Harris. That's
19 all I have.

20 WITNESS HARRIS: Thank you.

21 CHAIRMAN CLARK: Commissioners.

22 (NO RESPONSE)

23 CHAIRMAN CLARK: Redirect.

24 MR. RINDLER: I have no redirect, Your Honor. I
25 would move at this time Exhibits 1, 3, 4, 5 and 6, which

1 was --

2 CHAIRMAN CLARK: Composite exhibit.

3 MR. RINDLER: -- Composite Exhibit 8.

4 CHAIRMAN CLARK: Eight?

5 MR. RINDLER: Yes.

6 CHAIRMAN CLARK: Okay. It will be entered in the
7 record without objection.

8 MR. BILLMEIER: Staff moves Exhibit 9.

9 CHAIRMAN CLARK: It will be entered in the record
10 without objection. We will wait on Exhibit 10 until
11 Mr. Cheek takes the stand.

12 Thank you, Mr. Harris.

13 WITNESS HARRIS: Thank you.

14 MR. WAHLEN: We are ready for Mr. Cheek.

15 CHAIRMAN CLARK: Right.

16 MR. WAHLEN: United and Centel call William
17 Cheek.

18

19

20

21

22

23

24

25

* * * *

1 Whereupon,

2 WILLIAM E. CHEEK

3 was called as a witness by the United and Centel and, after
4 being first duly sworn, was examined and testified as
5 follows:

6
7 DIRECT EXAMINATION

8 BY MR. WAHLEN:

9 Q Will you please state your name?

10 A William E. Cheek.

11 Q And by whom are you employed?

12 A I'm employed by Sprint United Management Company.

13 Q And on whose behalf are you testifying in this
14 case?

15 A I'm testifying on behalf of Sprint United
16 Telephone of Florida and Central Telephone of Florida.

17 Q And you have been sworn in?

18 A Yes, I have.

19 Q Mr. Cheek, did you prepare and cause to be filed
20 in this case, direct testimony consisting of 48 pages?

21 A Yes, I did, and the accompanying exhibits that go
22 with that as well.

23 Q Right. Do you have any corrections or changes to
24 your testimony either in general or as a result of the
25 settlement that has been reached today?

1 A Yes, I do.

2 Q Would you please read those changes and
3 corrections into the record?

4 A Yes, I will. As a result of the settlement
5 discussions that took place this morning between Sprint and
6 MFS, there are several corrections or deletions, if you
7 will, from the testimony that I filed. Turning first in my
8 direct testimony, beginning on page 9, lines 14 through 25
9 should be stricken. Page 10 and 11 should be removed in
10 its entirety. That is lines 1 through 25 on both pages.
11 Page 12, lines 1 through 17; page 14, lines 7 through 25;
12 page 15, lines 1 through 6; also on page 15, lines 9
13 through 25; on page 16, lines 1 through 5; also on page 16,
14 lines 7 through 25; page 17, lines 1 through 21; page 18,
15 lines 22 through 25. Page 19, 20, 21 should be stricken in
16 the entirety, lines 1 through 25 on all of those pages.
17 Page 21, lines 1 through 3. Let me correct that if I
18 could. It will be page 22, page 23 in their entirety.
19 Let me correct that, it be all of page 24 should be
20 removed. Pages 25, 26, 27, 28, 29 -- I take that back,
21 through 28 should be removed in their entirety. And line
22 (sic) 29, lines 1 through 10. On page 31, lines 3 through
23 25 should be stricken. Pages 32, 33, 34, 35, 36, 37, 38,
24 39, 40, 41, 42, 43, 44, 45 and 46 should all be deleted, as
25 should page 47 in its entirety. And that's all the changes

1 to the direct testimony.

2 Q Okay. With those changes, if I were to ask you
3 the questions contained in your direct testimony today,
4 would your answers be the same?

5 A Yes, they would.

6 MR. WAHLEN: Chairman Clark, we would request
7 that Mr. Cheek's direct testimony be inserted into the
8 record as though read.

9

10

11

* * * *

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. WAHLEN: As far as the exhibits that were
2 included with this direct testimony, they're identified in
3 the Prehearing Order as Exhibits WEC-1 and 2, we will not
4 be offering those into evidence.

5 CHAIRMAN CLARK: Okay. So there are no exhibits
6 with this direct testimony?

7 MR. WAHLEN: That's correct.

8 CHAIRMAN CLARK: Okay.

9 MR. WAHLEN: I'd also like to let the record
10 reflect that his rebuttal testimony will not be offered
11 into the record and neither will his rebuttal exhibits,
12 which was WEC-3.

13 CHAIRMAN CLARK: Okay.

14 MR. WAHLEN: We have, however, handed out two
15 diagrams this morning to the Commissioners and the parties
16 and the court reporter that we would like to have
17 identified as an exhibit. And I believe the number would
18 be 11.

19 CHAIRMAN CLARK: Since they're two separate
20 sheets that are not attached we'll make that Central
21 Florida Sprint Local Calling Area Exhibit 11 and
22 Interconnection Call Termination Example Exhibit 12.

23 MR. WAHLEN: Thank you.
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

* * * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

DIRECT TESTIMONY

OF

WILLIAM E. CHEEK

Q. Please state your name, business address and title.

A. My name is William E. Cheek. I am the Assistant Vice President of Market Management for Sprint/United Management Company, an affiliate of United Telephone Company of Florida and Central Telephone Company of Florida. My business address is 2330 Shawnee Mission Parkway, Westwood, Kansas.

Q. Please summarize your educational background and work experience.

A. I received a Bachelor of Arts degree in Business from Hendrix College in 1977. From June of 1977 through March of 1981 I was employed by Allied Telephone Company in a variety of positions pertaining to the administration of toll revenues. In 1981, I joined United Telecommunications, Inc. in Kansas City where I held a number of positions. I was responsible for the preparation of Interstate Access Tariff Filings, Demand

1 Forecasts, Jurisdictional Separations Studies, and
2 representing United's interests as a member of National
3 Exchange Carrier Association (NECA) and United States
4 Telephone Association (USTA) task groups. As a member of
5 the USTA FCC Data Reporting task group I represented the
6 telephone industry in numerous meetings with the FCC
7 staff regarding the Tariff Review Plan and Automated
8 Regulatory Management Information System (ARMIS). I
9 joined Carolina Telephone, a Sprint company, in March of
10 1989. At Carolina Telephone, I was responsible for
11 administration of the interstate and intrastate toll and
12 access revenues derived from application of access or
13 toll rates and tariffs. I also directed the
14 administration of Carolina Telephone contracts with other
15 companies.

16
17 In March of 1994, I was named Assistant Vice President
18 Regulatory and Industry Planning for Sprint, Local
19 Telecommunications Division in Kansas City. In that
20 position, I was responsible for the development and
21 advocacy of Sprint's regulatory policy positions before
22 regulatory agencies, advocacy of Sprint regulatory
23 policies in state and federal legislative initiatives,
24 transactions with affiliates, and local competition
25 negotiations with competitive local exchange providers.

1 In April of 1996, I was named Assistant Vice President
2 Market Management. In this position, I am responsible
3 for implementing the requirements of the
4 Telecommunications Act of 1996 to facilitate competition
5 in the local marketplace, development of cost of service
6 studies, management of the interstate access market, and
7 management of the intraLATA toll market.

8
9 Q. What is the purpose of your testimony?

10

11 A. The purpose of my testimony is to respond to the matters
12 raised in the MFS Petition for Arbitration ("Petition")
13 under Section 252(b)(1), Communications Act of 1996, and
14 to respond to the prefiled testimony of Timothy Devine
15 and the other documentation which accompanied the MFS
16 Petition.

17

18 Q. On August 1, 1996, the Federal Communications Commission
19 ("FCC") adopted an order and its rules regarding
20 interconnection, unbundling and resale required by
21 Section 251, Communications Act of 1996. Does your
22 testimony rely upon or take into account the new FCC
23 rules?

24

25 A. No. Although the FCC adopted its new rules on August 1,

1 1996, the rules and accompanying order were not released
2 until August 8, 1996. I did not receive a copy of those
3 rules until August 9, 1996. These rules and the order
4 explaining them are in excess of 700 pages. Sufficient
5 time did not exist prior to the date for filing this
6 testimony to conduct a detailed review and analysis of
7 the FCC's rules and order.

8
9 Unquestionably, the FCC rules will impact the manner in
10 which Sprint will provide local interconnection,
11 unbundling and resale along with the corresponding prices
12 charged the new entrants. The negotiations between
13 Sprint and MFS to date have not had the benefit of these
14 new FCC rules.

15
16 Obviously, with the issuance of the FCC order and rules
17 there will be changes in what MFS is requesting and how
18 Sprint will respond. However, until the parties have had
19 a sufficient opportunity to read, analyze and digest the
20 new FCC rules, Sprint is responding to MFS' Petition for
21 Arbitration in good faith based upon what MFS has
22 requested. As this docket proceeds and the Company
23 completes its review of the FCC's rules and order, it
24 will adjust, change or modify its response to MFS'
25 Petition for Arbitration. Sprint is optimistic an

1 agreement may be reached between the parties prior to any
2 arbitration decision.

3

4 Q. MFS has attached to its Petition for Arbitration a
5 document titled "Florida Interconnection Agreement under
6 Sections 251 and 252 of the Telecommunications Act of
7 1996, dated July 3, 1996, by and between Sprint United-
8 Centel of Florida, Inc. and MFS Communications Company,
9 Inc." Would you please comment on this document.

10

11 A. Sprint was first presented with a copy of this proposed
12 agreement shortly after July 3, 1996. In the letter
13 transmitting this proposal, Mr. Devine of MFS stated:

14

15

16

17

18

19

20

21

22

23

24

25

"Please review the attached agreement and
return the signed copy of the agreement or
advise me of each provision with which you
disagree. I am assuming that if Sprint
does not formally respond to each
provision of the agreement, as part of the
formal arbitration case records, that
Sprint is accepting all of the provisions
that are contained in the agreement." See
Attachment B to MFS' Petition for
Arbitration.

1 It would be difficult, if not impossible, for Sprint to
2 respond to each provision of the proposed MFS
3 Interconnection Agreement as to which the Company
4 disagrees. Previously, Sprint furnished MFS with
5 Sprint's positions in the form of "The Essential Elements
6 for the Competitive Checklist" on April 12, 1996. This
7 document outlines Sprint's position on the key issues.
8 MFS agrees with the majority of these positions as
9 illustrated in MFS' letter of May 23, 1996 to Jack Burge,
10 which is attached as Exhibit No. WEC-1. Additionally,
11 MFS' proposed Interconnection Agreement was drafted prior
12 to the issuance of the FCC's order and rules on
13 interconnection, unbundling and resale and does not
14 reflect the requirements imposed on the parties by those
15 rules and interpretive order. Finally, much of what MFS
16 is requesting in its proposed Interconnection Agreement
17 has already been addressed and rejected by this
18 Commission in its Order Nos. PSC-96-0668-FOF-TP and PSC-
19 96-0811-FOF-TP. Therefore, Sprint is disagreeing with
20 each and every provision of the proposed MFS
21 Interconnection Agreement, except as otherwise
22 specifically agreed to in my testimony.

23
24 Q. If Sprint is rejecting MFS' proposed Interconnection
25 Agreement, does Sprint have an alternative proposal?

1 A. Yes. Sprint Corporation has prepared and developed a
2 draft Interconnection and Resale Agreement ("Sprint Model
3 Agreement"), a copy of which is attached hereto as
4 Exhibit No. WEC-2. Because this draft agreement was
5 prepared by Sprint Corporation, which serves several
6 different telecommunications, markets; i.e., local, long
7 distance, wireless and competitive local exchange, this
8 draft agreement reflects a balanced approach to the
9 rights, responsibilities and obligations of the parties
10 engaging in local exchange competition consistent with
11 the Communications Act of 1996. This draft agreement
12 does not reflect any changes in the rights and
13 obligations of the parties necessitated by the FCC's new
14 rules. Moreover, the agreement will of necessity be
15 modified and refined going forward as circumstances
16 require.

17

18 Nonetheless, this draft agreement is the most appropriate
19 vehicle for purposes of arbitrating the positions of the
20 parties. This will be the interconnection and resale
21 agreement that the non-ILEC Sprint entities will present
22 to the LECs throughout Florida and other states when
23 those Sprint entities enter the local exchange markets.
24 When Sprint completes its review and analysis of the
25 FCC's rules, Sprint will modify, adjust and change as

1 necessary those agreement provisions impacted by the
2 FCC's rules.

3

4 Q. Will you please describe how you will respond to MFS'
5 Petition for Arbitration and other documentation?

6

7 A. MFS' Petition for Arbitration and Mr. Devine's prefiled
8 direct testimony are not entirely compatible in the
9 number and makeup of the issues addressed and for which
10 MFS claims arbitration is required. Rather than the
11 Company separately responding to the issues raised by MFS
12 in its Petition for Arbitration, since Mr. Devine is MFS'
13 sole witness, the Company takes the position that all
14 issues raised there have been subsumed in Mr. Devine's
15 prefiled direct testimony. Thus, my testimony covers all
16 of the issues raised by MFS in its request.

17

18 However, there are matters contained in MFS' proposed
19 comprehensive interconnection agreement which are not
20 addressed in MFS' Petition, Mr. Devine's testimony or
21 never raised in MFS' negotiations with Sprint. For
22 example, Section 10.0 of the MFS proposed interconnection
23 agreement, titled "Resale of Sprint Local Exchange
24 Services -- Section 251(c)(4) and 251(b)(1)1" requires
25 Sprint to make all of its local exchange services

1 available to MFS for resale. Because this issue has
2 never been negotiated, it is not properly before the
3 Commission, and I will not address it in my testimony.
4 There may be other such issues as well.

5
6 My testimony will respond to the issues addressed in Mr.
7 Devine's prefiled direct testimony in the order that he
8 presents them. I will state whether Sprint agrees or
9 disagrees with MFS' position and/or MFS' proposed
10 provision; the basis for the Company's disagreement, if
11 any; and the Company's proposed resolution with reference
12 to the Sprint Model Agreement where appropriate.

13

14 Interconnection Points

15 Q. Would you please comment on Mr. Devine's contention, at
16 page 14 of his prefiled direct testimony, that there is
17 a controversy over the point of interconnection.

18

19 A. There really is not a controversy over the point of
20 interconnection; i.e., Maitland or Winter Park. The
21 controversy is over whether the facilities between MFS'
22 Maitland switch and Sprint's Winter Park tandem switch
23 will be constructed on a meet-point basis. Sprint has
24 agreed to construct facilities to the wire center
25 boundary or half way between Sprint's switch and the CLEC

1 switch, whichever is less. Each company will pay the
2 cost of its own construction. If the limits are
3 exceeded, then MFS will be required to incur the costs of
4 the facilities beyond these limits. These limitations
5 are necessary to prevent the CLEC from imposing costs on
6 Sprint that result solely from the CLEC's decision where
7 to locate its switch. In this situation, there is no
8 disagreement on the Maitland/Winter Park interconnection.
9

10 Trunking, Signaling, etc. and Two-way Trunking

11 Q. Please respond to Mr. Devine's testimony, page 15,
12 beginning at line 1 and page 16, line 16 through page 17,
13 line 4 regarding trunking and signaling.
14

15 A. Sprint has already committed to interconnect for trunking
16 and signaling at its tandems, end offices and at midspan
17 meets with two-way and/or one-way industry standard
18 trunking facilities and signaling arrangements. Sprint
19 supports the Commission's finding in Order No. PSC-96-
20 0668-FOF-TP, pages 40 and 41. These arrangements are
21 covered in the Sprint Model Agreement, Exhibit No. WEC-2,
22 Sections IV.B. and IV.B.a.
23

24 Compensation for Transiting Traffic

25 Q. Please respond to Mr. Devine's testimony, page 15, line

1 16 through page 16, line 13 regarding (1) direct and (2)
2 switched interconnections between CLECs.

3
4 A. With regard to direct connections, Sprint does not oppose
5 collocated CLECs establishing direct connections between
6 each other's facilities as long as the connections are
7 made using Sprint's tariffed cross-connect facilities
8 and, if required, tariffed cable and conduit facilities.
9 See FPSC Staff Memorandum in Docket No. 950985-TP, Issue
10 5, page 27, approved by the Commission at the July 30,
11 1996, Agenda Conference.

12
13 Sprint agrees with MFS, that MFS should pay Sprint for
14 switched traffic that MFS delivers to Sprint's tandem
15 switch for termination to another CLEC or other carrier.
16 MFS should pay Sprint for the use of Sprint's tandem
17 switching and for any transport facilities provided by
18 Sprint that are necessary to transport the call to and
19 from Sprint's access tandem switch to the CLECs' points
20 of interconnect. With Sprint's proposed port charge for
21 tandem switching, a separate transiting switch charge is
22 not necessary. These costs would be recovered based on
23 the number of ports required by MFS to switch the
24 combined total traffic for both call termination to
25 Sprint's end users and transiting traffic for termination

1 to other ALECs or ILECs. In addition, transport charges
2 would be applicable based on MFS' traffic volumes.

3
4 Busy Line Verification & Interrupt

5 Q. Please respond to Mr. Devine's testimony, page 17, lines
6 7 through 12 regarding Busy Line Verification and
7 Interrupt ("BLVI") services.

8
9 A. Sprint is willing to jointly establish procedures to
10 offer BLVI services on calls between MFS's and Sprint's
11 end users. BLVI calls should be routed over appropriate
12 trunk groups.

13
14 Sprint will provide these retail services on a non-
15 discriminatory basis at wholesale rates consistent with
16 Section 251(d)(3) of the 1996 Act.

17
18 Local Interconnection Compensation

19 Q. Please respond to Mr. Devine's testimony, page 17, line
20 15 through page 23, line 17 regarding setting a local
21 call termination rate.

22
23 A. MFS witness Mr. Devine asks that the Commission order a
24 local call termination charge on the basis of "a single,
25 identical, reciprocal and equal compensation charge" and

1 at a rate "of \$0.005 per minute." Sprint agrees with
2 MFS' proposal to charge a cost-based call termination
3 rate. However, Sprint disagrees with regard to the use
4 of a single charge for all types of traffic and the rate
5 and rate structure proposed by MFS.

6
7 Sprint proposes that its rates for local call termination
8 be based on the type of interconnection requested and the
9 associated cost of the facilities used to provide the
10 tandem and transport. That is, where a CLEC
11 interconnects at an access tandem and uses Sprint's
12 tandem switching and transport facilities to reach an end
13 office, the rates should cover the cost of the tandem
14 switch and the cost of the interoffice transport between
15 the tandem and the terminating end office.

16
17 There is also a cost for the end office switch, however,
18 Sprint proposes to bill and keep for end office switching
19 on a reciprocal basis for an interim 2-year period to
20 allow for traffic patterns to fully develop. Thus, where
21 a CLEC uses its own transport to reach an end office, it
22 would avoid the tandem switch cost and interoffice
23 transport since termination at the end office does not
24 require the use of those facilities.

25

1 Sprint proposes that a flat-rate DS-1 tandem port charge
2 is an appropriate billing mechanism for the access tandem
3 switching. The charge for transport is based on TSLRIC
4 and billed on a distance sensitive basis for the amount
5 of capacity ordered by MFS to terminate its traffic.
6

7 ~~Q. Please explain why the switching charge should be a flat-~~
8 ~~rated, capacity-based port charge.~~

9
10 ~~A. The most appropriate pricing mechanism for reciprocal~~
11 ~~compensation is flat-rated, capacity-based port charges.~~
12 ~~Depending on MFS' network requirements and traffic~~
13 ~~patterns, MFS will interconnect at a DS-1 or higher~~
14 ~~capacity level at the tandem or end office. Likewise,~~
15 ~~Sprint would need to purchase call termination capacity~~
16 ~~from MFS.~~

17
18 ~~The advantage of a port charge is that it is~~
19 ~~administratively simple, and it ensures that both~~
20 ~~companies will be compensated relative to the level of~~
21 ~~services provided. It is a standard industry method for~~
22 ~~interconnection (Bellcore Standard No. TR-NWT-00499). It~~
23 ~~also provides an efficiency incentive in that the~~
24 ~~interconnectors can maximize the utilization of the~~
25 ~~facility by encouraging off peak usage.~~

1 Q. What price does Sprint propose for its tandem switching
2 and transport functions?

3
4 A. The price of tandem switching and transport is the same
5 as the costs for these functions. The costs are
6 reflected in Exhibit RGF-1 to Mr. Farrar's testimony.
7

8 Local Unbundling and Loops

9 Q. Please respond to Mr. Devine's testimony, page 24, line
10 4 through page 26, line 4, page 27, line 6 through 28,
11 line 6 and page 30, line 13 through page 40, line 4
12 regarding unbundled loops.

13
14 A. Sprint agrees with Mr. Devine's testimony on page 26,
15 lines 1 through 4, which states "This Commission has
16 already ordered that local loops be provided on an
17 unbundled basis."

18
19 Sprint also agrees with Mr. Devine that "loop costs vary
20 with distance and density and that deaveraged pricing is
21 something that needs to be developed." Sprint does not,
22 however, have unbundled loop costs on the basis of rural,
23 suburban, and urban as proposed by MFS. As discussed in
24 greater detail in the testimony of Mr. James D. Dunbar,
25 Jr., Sprint has calculated loop costs by census block

1 ~~group for its service territory in Florida. Sprint has~~
2 ~~not developed a proposal for deaveraged loop pricing at~~
3 ~~this time; however, using the average cost of \$20.01 as~~
4 ~~stated in Mr. Dunbar's testimony, the price for Sprint~~
5 ~~loops in the Winter Park/Maitland area is \$23.01.~~

6
7 **Q.** What specific unbundled elements should be made
8 available?

9
10 **A.** The Act:

11 ▶ Requires all incumbent local exchange carriers
12 (ILECs) to provide, to any requesting
13 telecommunications carrier for the provision of a
14 telecommunications service, nondiscriminatory
15 access to network elements on an unbundled basis at
16 any technically feasible point on rates, terms, and
17 conditions that are just, reasonable, and
18 nondiscriminatory. (251(c)(3)).

19 ▶ Requires ILECs to provide unbundled network
20 elements in a manner that allows carriers to
21 combine the elements in order to provide the
22 telecommunications service. (251(c)(3)).

23 ▶ Defines a network element as a facility or
24 equipment used in the provision of a
25 telecommunications service, including features,

1 functions, and capabilities such as subscriber
2 numbers, databases, signaling systems, and
3 information sufficient for billing and collection,
4 or used in transmission, routing, or provision of
5 a telecommunications service. (3(a)(45)).

6 ▶ Requires the FCC, in determining which network
7 elements will be made available, to consider, at a
8 minimum, whether (A) access to network elements
9 that are proprietary is necessary, and (B) whether
10 failure to provide access to these network elements
11 would impair the ability of a carrier to provide
12 the services it wishes. (251(d)(2)).

13 ▶ Requires that prices be based on cost (without
14 reference to any rate-based proceeding) and be
15 nondiscriminatory, and may include a reasonable
16 profit. (252(d)(1)).

17 ▶ Requires BOCs, as part of their competitive
18 checklist, to unbundle loop transmission, trunk
19 side local transport, and local switching.
20 (271(c)(2)(B)(iv)-(vi)).

21
22 Q. Please define what you mean by local loop transmission,
23 trunk side local transport and local switching.

24
25 A. Local loop transmission means non-switched transmission

1 between a central office and the customer's location.
2 The customer location may be the premises of another
3 telecommunications carrier.

4
5 Trunk side local transport means transmission from the
6 trunk side of a switch to a telecommunications carrier's
7 facilities. Local transport does not include switching.
8 Tandem switching should also be offered as a separate
9 element, but may be bundled with transport if agreed upon
10 by interconnecting carriers.

11
12 Local switching means the end-office switching of
13 exchange service and exchange access traffic. There are
14 two subelements associated with unbundled local
15 switching. One subelement is the line side port. This
16 port includes a line side connection and all of the usage
17 and software associated with the connection. A second
18 subelement is the trunk side port. This port includes a
19 trunk side connection and all of the usage and software
20 associated with the connection.

21
22 ~~Q. Are these the same unbundled network elements that MFS~~
23 ~~has requested in this arbitration proceeding?~~

24
25 ~~A. NO. For example, MFS has requested local service~~

1 unbundling rather than the individual network elements,
2 local switching and loop. Thus, MFS is requesting that
3 local dial tone be segregated into two separate elements:
4 a local loop, or a link, and a port. The port includes
5 a telephone number, a white page directory listing,
6 switching and transport of local calls, and access to
7 directory assistance, 911 and operator services. This is
8 not how Sprint interprets the Act, however, Sprint has
9 agreed to unbundle the port as requested by MFS and as
10 ordered by this Commission in Docket No. 950984-TP, Order
11 No. PSC-96-0811-POF-TP.

12
13 Q. Are there other differences?

14
15 A. Yes. MFS has requested that Sprint provide unbundled 2
16 wire ADSL, 2 wire HDSL and 4 wire HDSL loops. However,
17 these are not services which Sprint currently provides,
18 but are technologies for increasing the transmission
19 speeds and/or capacity of existing loop facilities.

20
21 Q. Does Sprint object to providing the requested loops?

22
23 A. No. However, we need to determine what technical
24 parameters are required and to determine our capabilities
25 to design, install and maintain the requested facilities.

1 MFS would be responsible for any cost that may be
2 required to provide the requested loops if they require
3 the Company to incur additional cost to provision,
4 design, test, maintain and repair.
5

6 Collocation

7 Q. Does Sprint offer collocation as requested by Mr. Devine
8 in his testimony on page 27, beginning on line 11?
9

10 A. Yes, and Sprint has agreed to collocate MFS' local
11 interconnection and transmission equipment including loop
12 concentration equipment. This is covered in the Sprint
13 Model Agreement, Exhibit No. WEC-2, Sections IV.5.a. and
14 b.
15

16 Q. Does Sprint agree to MFS' proposed cross-connection
17 procedure whereby MFS dictates the technology?
18

19 A. No. In most instances, what MFS is requesting should not
20 be a problem, however, interconnection technology should
21 be based on a mutual agreement, not whatever MFS orders,
22 unless MFS pays the additional cost that Sprint incurs to
23 meet MFS' request for a specific type of hand-off, e.g.,
24 SONET.
25

1 Additional Unbundling Requirements

2 Q. At page 28 of his prefiled direct testimony, Mr. Devine
3 claims that Sprint should be required to provide MFS with
4 a variety of additional unbundling arrangements. Would
5 you please comment on these claims.

6
7 A. Yes. Mr. Devine's prefiled direct testimony refers the
8 reader to § 9.0 of MFS' proposed Comprehensive
9 Interconnection Agreement. There, MFS lists a series of
10 operational arrangements. Sprint agrees to provide these
11 arrangements as reflected in the Sprint Model Agreement,
12 Exhibit No. WEC-2, Section V.A.4.

13
14 Billing Statement

15 Q. Mr. Devine, at page 29, lines 12 to 15, requests that
16 Sprint be required to bill all unbundled facilities
17 purchased by MFS on a single consolidated statement per
18 wire center. What is the Company's position?

19
20 A. MFS offers no evidence as to why this requirement is
21 necessary. The Commission rejected MFS' similar request
22 in Docket No. 950984-TP, although the Commission required
23 the parties to negotiate "some type of billing
24 arrangement . . . for the ordering of unbundled
25 elements." Order No. PSC-96-0811-FOF-TP. (Emphasis

1 added.) Sprint is willing to work with MFS on developing
2 this Commission-ordered billing arrangement, but MFS has
3 not receded from its previously rejected billing request.
4

5 Fresh Look

6 Q. On page 28, line 17, of his prefiled testimony, Mr.
7 Devine contends that "Sprint should permit any customer
8 to convert its bundled service to an unbundled service
9 and assign such service to MFS, with no penalties,
10 rollover or termination charges to MFS or the customer.
11 MFS should only be responsible for the direct costs
12 incurred to convert the customer." He goes on to claim,
13 on page 29, line 2, that, "such 'fresh look' provisions
14 are a common consumer protection procedures in Florida."
15 Do you agree with Mr. Devine's contention and claim?
16

17 A. Sprint agrees with Mr. Devine that "MFS should only be
18 responsible for the direct costs incurred to connect the
19 customer." As the Commission found, when faced with this
20 same contention by MFS in Docket No. 950984-TP, (1) there
21 are specific nonrecurring charges that are necessary to
22 cover the costs of converting service to the ALECs; and
23 (2) MFS agreed that there are such costs and the ALECs
24 ought to pay for these nonrecurring costs of conversion.
25

1 Additionally, the Commission found that there may be
2 situations in which the LEC customer is under a contract
3 and termination liability charges would apply if the
4 contract terminated early. Sprint acknowledges that the
5 existence of a contractual arrangement with a customer
6 which includes a termination liability provision may make
7 it difficult for that customer to choose MFS or another
8 CLEC to provide the customer's local exchange service.
9 It may, therefore, be appropriate for customers with
10 existing contractual relationships with Sprint to cancel
11 such contract to become an MFS customer without incurring
12 the termination liability during a brief period - not to
13 exceed ninety (90) days - after MFS commences its
14 marketing activities in Sprint's market area or the
15 Commission approves a negotiated or arbitrated
16 interconnection agreement pursuant to Sections 251 and
17 252 of the Communications Act of 1996, whichever occurs
18 first. Any contractual relationship between a customer
19 and Sprint entered into after the expiration of the
20 initial ninety-day period will not be subject to a "fresh
21 look" and the termination liability provision will be
22 fully enforceable if the customer cancels for any reason,
23 including to take similar service from MFS.

24
25 Additionally, any customer who takes advantage of this

1 "fresh look" window should be eligible to return to
2 Sprint within 90 days without incurring termination
3 charges from MFS.

4
5 Request Process

6 Q. At page 30 of Mr. Devine's prefiled direct testimony, in
7 which he references § 9.0 and Ex. 14.0 of MFS' proposed
8 Comprehensive Interconnection Agreement, he outlines MFS'
9 requirements for requesting unbundled facilities. Would
10 you please comment on MFS' requirements.

11
12 A. Sprint agrees to provide MFS with a process for
13 requesting unbundled loops. The Company's proposed
14 approach is set forth in Sprint's Model Agreement,
15 Exhibit No. WEC-2, Sections V and XVIII.

16
17 Commission Pricing Guidelines

18 Q. At page 32 of his prefiled direct testimony, on line 6,
19 Mr. Devine states that the Commission should adopt a
20 pricing guideline to prevent discrimination between the
21 prices charged to MFS for unbundled elements and the
22 prices charged to the Company's end users. He suggests
23 that the "sum of the prices of the unbundled rate
24 elements (link, port, and cross connect) must be no
25 greater than the price of the unbundled dial tone." Do

1 you believe this is an appropriate pricing guideline for
2 unbundled facilities?

3
4 A. No. What Mr. Devine is requesting is to put a cap on the
5 prices for unbundled elements that may in fact cause the
6 price to be below cost. This result is in direct
7 conflict with the requirements of the Federal
8 Communications Act of 1996 and Florida Statutes. The
9 appropriate pricing mechanism is set forth in the Sprint
10 Model Agreement, Exhibit No. WEC-2, Section V.B. It is
11 Sprint's position that unbundled network elements should
12 be provided at a rate to be computed based on TSLRIC of
13 each such element, plus an amount not to exceed 15% of
14 TSLRIC, which represents recovery by the Company of costs
15 associated with joint and common facilities. This
16 position is consistent with state and federal law.

17
18 Stipulated Damages

19 Q. Beginning at page 40, line 5, of his prefiled testimony,
20 Mr. Devine references § 23.0 of the Comprehensive
21 Interconnection Agreement regarding MFS' request that the
22 Commission require a stipulated damages provision. Mr.
23 Devine claims (1) "[S]tipulated damages provide an
24 efficient, effective mechanism for enforcing one of the
25 most important provisions of the Interconnection

1 Agreement;" (2) "[S]tipulated damages provide an
2 unambiguous financial incentive for parties to comply
3 with the terms and conditions of an interconnection
4 agreement;" and (3) the Commission addressed stipulated
5 damages in the Interconnection and Unbundling
6 proceedings. Do you agree with any of Mr. Devine's
7 claims?

8
9 A. No. First, with respect to Mr. Devine's claim that
10 stipulated damages "provides an efficient, effective
11 mechanism," what MFS is really looking for is a penalty
12 to be imposed by MFS whenever it wishes for even a
13 trivial breach of the Agreement. At § 23.3 of the
14 referenced Comprehensive Agreement, MFS is requiring
15 Sprint to accept a stipulated damages amount of \$75,000
16 "for each Specified Performance Breach" which is defined
17 in the Comprehensive Agreement to mean "the failure by
18 Sprint to meet the Performance Criteria for any Specified
19 Activity for a period of three (3) consecutive calendar
20 months." The Comprehensive Agreement goes on to specify
21 the definition of "Specified Activity" and "Performance
22 Criteria" which involve the installation of unbundled
23 loops, provision of interim number portability and repair
24 of out of service problems within certain specified time
25 frames. Nowhere in Mr. Devine's prefiled testimony or in

1 MFS' Petition or supporting documentation is there any
2 evidence offered as to how Sprint's failure to perform
3 the "Specified Activities" within the "Performance
4 Criteria" warrants \$75,000 for each "Specified
5 Performance Breach." Whether or not such stipulated
6 damages provision can be imposed by the Commission or is
7 even legally enforceable, the amount sought to be imposed
8 is punitive and bears no reasonable relationship to the
9 conduct sought to be complied with.

10
11 Second, with respect to claim (2), that stipulated
12 damages provide an "unambiguous financial incentive for
13 the parties to comply" with the terms and conditions of
14 the Comprehensive Agreement, the stipulated damages
15 proposed by MFS apply only to Sprint's activities, and
16 not to MFS' activities, and therefore provide no
17 financial incentive for MFS to comply with the terms and
18 conditions of the Comprehensive Agreement.

19
20 Finally, with respect to Mr. Devine's claim that the
21 Commission addressed stipulated damages in the
22 Interconnection and Unbundling proceedings, there is
23 nothing in the Orders issued by the Commission in those
24 proceedings which even remotely resembles an addressing
25 of stipulated damages. This is not surprising since

1 stipulated damages was not even discussed, let alone
2 requested by MFS, in those proceedings.

3

4 Q. Does the Federal Communications Act of 1996, Chapter 364,
5 Florida Statutes, or the FCC's rules implementing the
6 federal Act require stipulated damages as an element of
7 negotiated or arbitrated interconnection and unbundling
8 agreements?

9

10 A. No. Clearly, if stipulated damages was considered by the
11 Congress, the Florida Legislature or the FCC to be "one
12 of the most important provisions" of an interconnection
13 agreement - as Mr. Devine claims in his testimony - then
14 it would seem that one or all of those policymaking
15 bodies would have included it in legislation or rules,
16 but they have not. To now attempt to require Sprint to
17 expose itself to such unrealistic liability in the guise
18 of a "Stipulation" is inconsistent with the principal
19 thrust of the state and federal legislation which
20 requires, in the first instance, negotiated agreements.
21 At no time prior to the instant Petition for Arbitration
22 has MFS ever raised or suggested a "Stipulated
23 Liability" provision as part of its negotiations with
24 Sprint.

25

1 Q. Does Sprint believe that no liability should attach to
2 failure to meet performance specifications of an
3 interconnection agreement?
4

5 A. No. Sprint supports a liability for service outages,
6 other than from typical force majeure conditions, in an
7 amount equal to the proportionate charge for the element
8 or service during the period of time service was
9 affected. We do not support the imposition of liability
10 for liquidated or consequential damages.
11

12 Information Services Traffic

13 Q. Would you please comment on MFS' position with regard to
14 Information Services Traffic as set out on page 41, of
15 Mr. Devine's prefiled direct testimony and § 7.1 of MFS'
16 proposed interconnection agreement?
17

18 A. In MFS' proposed interconnection agreement, Sprint is
19 required to serve as the intermediary between MFS and the
20 information service providers (IP) for a variety of
21 activities including, for example, requiring Sprint to
22 (1) transfer the IP's rate information to MFS, and (2)
23 receive the IP's charges from MFS for passage on to the
24 IP. It is not Sprint's responsibility to act as MFS'
25 intermediary with the IPs. MFS should not be treated any

1 different than adjacent LECs are treated today. The
2 current procedure, as supported by Sprint's tariff, is
3 that the IP assumes responsibility for making suitable
4 arrangements with the appropriate telephone company for
5 the provisioning of service and the billing of charges
6 for those IP calls that originate outside of the
7 Company's service area.

8
9 Mr. Devine contends that the arrangement it proposes, in
10 which Sprint is to act as MFS' intermediary with IPs, was
11 ordered by the Commission in Docket No. 950985-TP. A
12 review of Order No. PSC-96-0668-FOF-TP, however,
13 indicates that the Commission in fact rejected MFS'
14 request for the identical arrangement. The Commission
15 stated:

16 We agree with United/Centel that the IP
17 (Information Provider) should assume the
18 responsibility for making suitable
19 arrangements with the appropriate LEC or
20 ALEC for the provisioning of service and
21 the billing of charges for those calls
22 to pay-per-call numbers that originate
23 outside the LEC's or ALEC's territory.

24 Order, page 39. Nothing has changed since the
25 Commission's Order to now warrant imposing MFS' requested

1 arrangement.

2

3 Information (Call Guide) Pages

4 Q. At page 45 of his prefiled testimony, beginning at line
5 1, Mr. Devine indicates the importance of including
6 competitors' customer information in Sprint's telephone
7 directories, and at page 46, beginning at line 1, he
8 states that "Sprint is willing to include information
9 about MFS' installation, repair, customer service and
10 other service oriented information, as it should." He
11 then goes on to complain that "Sprint refuses to include
12 MFS' logo at no cost to accompany that information so MFS
13 customers can easily identify it." Can you explain why
14 Sprint does not agree to include MFS' logo at no cost in
15 the White Pages Directory information pages?

16

17 A. Sprint's directory publishers will include the
18 traditional customer listing in the White Pages Directory
19 for MFS' customers and distribute the directory at no
20 charge to MFS. These companies also have agreed to
21 include consumer-oriented information about MFS in the
22 White Pages Directory Information (Call Guide) pages.
23 However, these publishers have not agreed to allow MFS or
24 any other CLEC to place its logo on these pages at no
25 cost. MFS should deal directly with the publishers of

1 the White Pages Directory on this issue. This is not a
2 matter which the Commission can compel Sprint to provide
3 or accomplish.

4
5 Telephone Number Resources

6 Q. Mr. Devine contends at page 46 of his prefiled direct
7 testimony that Sprint must be required to provide MFS
8 with adequate telephone number resources. Could you
9 please respond to his comments?

10
11 A. This issue was tried and decided in Docket No. 950985-TP.
12 In that proceeding, the Company stated that it is not the
13 numbering plan manager and therefore is not in control of
14 NXX assignments. MFS acknowledged that Sprint does not
15 assign NXX codes. Nonetheless, Sprint stated in
16 testimony that telephone numbering policy must be broadly
17 developed and administered in a competitively neutral
18 manner. The Commission, in its Order No. PSC-96-0668-
19 FOF-TP, at page 47, recognized that the Company is not
20 the numbering administrator for its region, but to the
21 extent it has control over NXX codes it must assign NXX
22 codes to CLECs on the same basis that such assignments
23 are made to Sprint and other code holders. Sprint agrees
24 to make telephone number resources available to MFS, as
25 set forth in the Sprint Model Agreement, Exhibit No. WEC-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

2, Section VIII.

Tandem Subtending & Meet-Point Billing

Q. Mr. Devine proposes, beginning at page 47 of his prefiled direct testimony, that Sprint provide tandem switching within a LATA in order for MFS's switch to "subtend" the tandem. Is this an appropriate interconnection arrangement?

A. Yes, that is one method of interconnection, there are others that are also acceptable. In each Sprint exchange area in which MFS chooses to offer local exchange service, MFS may interconnect its network facilities at any technically feasible point of interface within Sprint's network including: at Sprint access tandem(s); to end office(s) switches; or, other wire centers, (collectively referred to as "POI"). The POIs are the point(s) of physical interconnection. As MFS initiates exchange service operations in additional Sprint exchange areas, and requests additional POIs, Sprint will interconnect with MFS at the designated POI, whether the POI is at an access tandem, end office or mid-span meet point within the exchange.

Interconnection to a Sprint end office(s) will provide

1 MFS access only to the NXX's served by that individual
2 end offices(s) to which MFS interconnects.

3
4 Interconnection to a Sprint local tandem(s) will provide
5 MFS local access to the Sprint end offices and NXX's
6 which subtend that tandem(s), and to other companies
7 which are connected to that tandem(s). Interconnection
8 to a Sprint access tandem will provide MFS interexchange
9 access to Sprint, Interexchange carriers (IXCs), CLEC,
10 ILECs, and CMRS providers which are connected to that
11 tandem. Where a Tandem Switch also provides End Office
12 Switch functions, interconnection to a Sprint access
13 tandem serving that exchange will also provide MFS access
14 to Sprint's access offices with the same functionality
15 described above.

16
17 Q. What are the appropriate meet point billing arrangements
18 for jointly provisioned originating and terminating
19 access services?

20
21 A. Sprint and MFS agree to conform to MECAB and MECOD
22 guidelines. Sprint will exchange Billing Account
23 Reference and Bill Account Cross Reference information
24 and will coordinate Initial Billing Company/Subsequent
25 Billing Company billing cycles with MFS.

1 Exchange access meet point billing arrangements will be
2 made available to MFS. Where Sprint currently has meet
3 point arrangements, they shall be made available on the
4 same terms and conditions as are made available by Sprint
5 to other ILECs engaged in meet point billing arrangements
6 with Sprint.

7
8 No discrete development charges shall be imposed on MFS
9 for the establishment of standard meet point billing
10 arrangements.

11
12 Where Sprint provides transit functions, Sprint will
13 prepare and transmit inward terminating call records for
14 the appropriate IXCs to MFS in an agreed upon form (e.g.,
15 EMR). Such files will be transmitted daily in an agreed
16 upon media (e.g., Network Data Mover ("NAM")).

17
18 Sprint also proposes to capture inward and outward
19 terminating call records and send them to MFS in an
20 agreed upon industry standard format (e.g. EMR).

21
22 Sprint will exchange the appropriate records to bill
23 exchange access charges to IXCS as appropriate, in daily
24 files via an agreed upon media (e.g. Network data mover
25 (NDM)).

1 Sprint agrees to exchange test files to support
2 implementation of meet point billing, local service
3 billing, CLASS feature billing, and other access or
4 wholesale service elements prior to live bill production.

5
6 When MFS owns the end-office, Sprint will not bill the
7 transport residual interconnection charge ("RIC") to
8 either MFS or the IXC.

9
10 Sprint supports the use of multiple bill/multiple tariff
11 as the billing and settlement method for both switched
12 and special access services. Sprint cannot support
13 single bill/multiple tariff methodology for jointly
14 provided switched access, as MFS has proposed, because
15 Sprint's access billing system cannot accommodate this
16 arrangement. Also, Sprint does not support single
17 bill/single tariff meet point billing. In an
18 increasingly competitive market place with frequently
19 changing rates and rate structures, billing accuracy
20 would be compromised. The multiple bill/single tariff
21 method could not be used between Sprint and MFS unless
22 MFS concurred with Sprint's tariffs. Multiple
23 bill/single tariff billing is rarely, if ever, employed
24 between LECs.

25

1 It is not at MFS' sole discretion which meet point
2 billing method is utilized. Sprint's access tariffs
3 state the Exchange Telephone Companies involved in the
4 provision of jointly provided service must agree to the
5 meet point billing methodology. Also, it is common
6 industry practice for the companies to agree on the meet
7 point billing method.

8
9 For the above mentioned reasons Sprint recommends
10 multiple bill/multiple tariff billing arrangements for
11 MFS and Sprint provided access services. This method
12 better reflects the competitive realities and more
13 efficiently accommodates diverse pricing philosophies.

14
15 Q. On page 48, line 12, of his prefiled direct testimony,
16 Mr. Devine suggests that Sprint and MFS should provide
17 each other, at no charge, various usage data. Do you
18 agree?

19
20 A. Yes. With regard to meet-point billing, billing
21 information should be exchanged on a reciprocal basis at
22 no charge. For other billing services, MFS will be
23 provided services on the same terms and conditions as
24 other LECs and IXCs. The Commission has already reached
25 a decision on these issues, and Sprint supports the

1 Commission's finding as stated on page 39 of Order No.
2 PSC-96-0668-FOF-TP.
3

4 911/E911

5 Q. At page 52, lines 14 and 15, of his prefiled direct
6 testimony, Mr. Devine states that the provisions relating
7 to 911 and E911 service set forth in MFS' proposed
8 interconnection agreement should be adopted. What is
9 Sprint's position on the provisions of 911 and E911
10 capability?
11

12 A. Sprint will provide for interconnection of MFS's trunks
13 to Sprint's 911/E911 selective routers/911 tandems for
14 the provision of 911/E911 services and for access to all
15 sub-tending Public Safety Answering Points ("PSAP") in
16 areas where MFS provides exchange service. Sprint will
17 provide MFS with the appropriate Common Language Local
18 Identifier ("CLLI") codes and specifications of the
19 tandem service area.
20

21 As stated in the Sprint Model Agreement, Exhibit No. WEC-
22 2, Section VII.A., where Sprint is the owner or operator
23 of the 911/E911 database, Sprint will maintain, and the
24 Parties will agree upon the time frame for automated
25 input and daily updating of 911/E911 database information

1 related to MFS's end users. Sprint will work
2 cooperatively with MFS to ensure the accuracy of the data
3 transfer by verifying it against the Master Street
4 Address guide (MSAG). MFS shall use the NENA standards
5 for street addressing and abbreviations, including a
6 Carrier Code (NENA standard 5 - character field) on all
7 ALI records sent to Sprint. MFS is responsible for
8 record data it provides to Sprint for entry in the
9 database or, when available, for the information it
10 enters into the database and agrees to indemnify and hold
11 Sprint harmless from any and all claims or actions
12 arising out of or relating to MFS's negligence or
13 intentional acts, errors or omissions in providing the
14 record data to Sprint. Additionally, Sprint shall work
15 with the appropriate governmental authorities to provide
16 MFS the ten-digit telephone number of each PSAP which
17 sub-tends each Sprint selective router/911 tandem to
18 which MFS is interconnected. Sprint will input MFS's
19 data in an interval that is no less frequent than that
20 used by Sprint for its end user.

21
22 Sprint will jointly work with MFS to establish a default
23 arrangement/disaster recovery plan including an emergency
24 back-up number in case of massive trunk failures.
25

1 Sprint will use its best efforts to facilitate the
2 prompt, robust, reliable, and efficient interconnection
3 of MFS systems to the 911/E911 platforms, with standards
4 of provisioning, service, and performance that are non-
5 discriminatory and are at least equal to those employed
6 by Sprint for itself, its affiliates and/or subsidiaries,
7 and other carriers providing switched local exchange
8 services.

9
10 Directory Assistance

11 Q. Does Sprint agree with MFS' position on Directory
12 Assistance services set forth at pages 53 and 54 of Mr.
13 Devine's prefiled direct testimony?

14
15 A. Sprint's position on Directory Assistance services is set
16 forth in Sprint's Model Agreement, Exhibit No. WEC-2,
17 Section VII.C. Where Sprint is a directory assistance
18 service provider, at MFS's request, subject to any
19 existing system capacity restraints which Sprint shall
20 work to overcome, Sprint will provide to MFS for resale,
21 unbranded directory assistance service which is
22 comparable in every other way to the directory assistance
23 service Sprint makes available to its own end users.

24
25 When available, at MFS's request, Sprint will:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1. provide to MFS operators or to a MFS designated operator bureau on-line access to Sprint's directory assistance database, where such access is identical to the type of access Sprint's own directory assistance operators utilize in order to provide directory assistance services to Sprint end users; and/or
2. allow MFS or a MFS designated operator bureau to license Sprint's directory assistance database for use in providing competitive directory assistance services.

Sprint will make MFS's data available to anyone calling Sprint's DA.

Sprint will store proprietary customer information provided by MFS in their Directory Assistance database; such information should be able to be identified by source provider in order to provide the necessary protection of MFS or MFS customers proprietary or protected information. Alternatively, Sprint will allow wholesale resale of DA service. Sprint will limit its use of MFS's data to directory assistance unless, pursuant to written agreement, MFS grants greater flexibility in the use of the data subject to proper

1 compensation.

2

3 Sprint shall include MFS listings in its directory
4 assistance database; however, MFS must provide its
5 listings to Sprint via data and processed directory
6 assistance feeds in accordance with agreed upon industry
7 format.

8

9 MFS will be able to license Sprint unbundled directory
10 database and sub databases and utilize them in the
11 provision of its own DA service. To the extent that MFS
12 includes Sprint listings in its own directory assistance
13 database, MFS shall make Sprint's data available to
14 anyone calling MFS's DA.

15

16 Sprint will make available to MFS all service
17 enhancements on a non-discriminatory basis.

18

19 When technically feasible and requested by MFS, Sprint
20 will route MFS customer DA calls to MFS DA centers.

21

22 Q. What are the appropriate procedures for establishing DA
23 service for MFS?

24

25 A. Sprint will update and maintain the DA database with MFS

1 data, utilizing the same procedures it uses when its own
2 customers, connect, disconnect, and change such as change
3 to/from or non-published or non-listed.

4
5 Each company shall bill its own end-users.

6
7 MFS will be billed by Sprint in standard carrier access
8 billing format.

9
10 Sprint and MFS will develop intercompany procedures to
11 correct errors when they are identified in the database.

12
13 Q. What compensation methods are appropriate for the
14 provision of Directory Assistance services?

15
16 A. When MFS is rebranding Sprint's local service, Sprint's
17 directory assistance that is provided without a separate
18 charge to end users, e.g., an allowance, will be provided
19 to MFS' end users as part of the basic wholesale local
20 service subject to the "unbranded" directory assistance
21 service provisions noted above. Where DA is separately
22 charged as a retail service by Sprint, MFS shall pay for
23 DA service at the wholesale rate.

24
25 Should MFS choose to provide its own directory assistance

1 service, either internally or through a third party
2 contractor, the cost of Sprint's directory assistance
3 service that is avoided shall be deducted from the
4 wholesale local service price that MFS pays Sprint for
5 local service which MFS rebrands.

6
7 Sprint shall place MFS end users listings in its
8 directory assistance database for no charge.

9
10 Sprint shall make its unbundled directory assistance
11 database available to MFS. Prices should be negotiated,
12 reasonable, and non-discriminatory with the expectation
13 that the price to MFS will be the same as prices as
14 applicable to ILEC-to-ILEC transactions.

15
16 Any additional trunking necessary to provide an unbranded
17 resold directory assistance service or routing to MFS's
18 own directory assistance service location shall be
19 provided and/or paid for by MFS.

20
21 Repair Calls

22 Q. Do you agree with the procedures for handling misdirected
23 repair calls set forth at page 55 of Mr. Devine's
24 prefiled direct testimony?
25

1 **A.** Pursuant to Sprint's Model Agreement, Exhibit No. WEC-2,
2 Section XVII.C., Sprint proposes the following
3 procedures:

- 4 1. MFS and Sprint will educate their respective
5 customers as to the correct telephone numbers to
6 call in order to access their respective repair
7 bureaus.
- 8 2. To the extent that Sprint can determine the
9 caller's local service provider, Sprint will refer
10 the caller and provide the correct repair contact
11 telephone number to the caller in a courteous
12 manner, at no charge. In responding to repair
13 calls, Sprint proposes that neither company shall
14 make disparaging remarks about each other, nor
15 shall they use these repair calls as the basis for
16 internal referrals, to solicit customers or to
17 market other services. Sprint will respond with
18 accurate information in answering customer
19 questions.

20

21 Telephone Number Portability

22 **Q.** At page 56 of his prefiled direct testimony, Mr. Devine
23 states that MFS is requesting an interim number
24 portability arrangement different from that ordered by
25 the Florida Public Service Commission. What is Sprint's

1 proposal for providing interim number portability?

2

3 A. As is stated in Sprint's Model Agreement, Exhibit No.
4 WEC-2, Section XII, the Parties shall provide interim
5 number portability arrangements to permit end-user
6 customers to change providers without changing their
7 current phone numbers, provided that such end user
8 remains located within the same ILEC serving end office
9 area.

10

11 Sprint will provide necessary data to MFS to allow MFS to
12 recover some terminating access charges, recognizing that
13 both are involved in joint provision of access to IXC's,
14 associated with terminating traffic to ported numbers
15 assigned to their subscribers.

16

17 Sprint is entitled to reasonable compensation for this
18 service, provided such compensation is based on the
19 incremental cost of providing the service(s) and
20 recognizes that interim number portability provides an
21 inferior method of providing number portability.

22

23 Q. What is Sprint's position regarding the price for interim
24 number portability, which is addressed at p. 56 of Mr.
25 Devine's prefiled direct testimony and Ex. 15.0 to the

1 MFS interconnect agreement proposal?
2

3 A. Sprint believes that the appropriate price for interim
4 number portability is the TSLRIC plus contribution less
5 55% of the result to reflect that remote call forwarding
6 is an inferior serving arrangement (compared to permanent
7 telephone number portability). Based on the exhibit to
8 Mr. Farrar's testimony (Exhibit No. RGF-2), the price for
9 residential RCF, including six call paths, is \$0.53 and
10 for business RCF, also including six call paths, is
11 \$1.00. The price for each additional path, residential
12 and business, is \$0.36.
13

14 Most Favored Nations Clause

15 Q. At page 57, beginning at line 1, Mr. Devine claims that
16 MFS should be allowed to take advantage of
17 interconnection and unbundling arrangements Sprint
18 subsequently makes with other ALECs. Would Sprint
19 support a "Most Favored Nations" clause in an
20 interconnection agreement?
21

22 A. Yes, we can accept a "Most Favored Nations" clause.
23 Please see the Sprint Model Agreement, Exhibit No. WEC-2,
24 Section X.
25

1 Q. Does this conclude your testimony?

2

3 A. Yes.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25