

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

In re: Petition by AT&T) DOCKET NO. 960833-TP
Communications of the Southern) DOCKET NO. 960846-TP
States, Inc., MCI) DOCKET NO. 960916-TP
Telecommunications Corporation,)
MCI Metro Access Transmission)
Services, Inc., American)
Communications Services, Inc.)
and American Communications)
Services of Jacksonville, Inc.)
for arbitration of certain terms)
and conditions of a proposed)
agreement with BellSouth)
Telecommunications, Inc.)
concerning interconnection and)
resale under the)
Telecommunications Act of 1996.)
)

SECOND DAY -- AFTERNOON SESSION

VOLUME 7

Pages 967 through 1124

PROCEEDINGS:

Hearing

BEFORE:

CHAIRMAN SUSAN F. CLARK
COMMISSIONER J. TERRY DEASON
COMMISSIONER JULIA L. JOHNSON
COMMISSIONER DIANE K. KIESLING
COMMISSIONER JOE GARCIA

DATE:

Thursday, October 10, 1996

PLACE:

Betty Easley Conference Center


Room 148

BUREAU OF REPORTING

4075 Esplanade Way

Tallahassee, Florida

RECEIVED 10-11-96



REPORTED BY:

CATHY H. WEBSTER
C & N Reporters

APPEARANCES:

(As heretofore noted.)

WITNESSES - VOLUME 7

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NAME	PAGE
DREW CAPLAN	
Cross Examination by Ms. Canzano	970
Redirect Examination by Ms. McMillin	979
RONALD MARTINEZ	
Direct Examination by Ms. McMillin	981
Prefiled Testimony of Martinez	984
Cross Examination by Ms. White	1020
Cross Examination by Mr. Pellegrini	1033
DON J. WOOD	
Direct Examination by Mr. Melson	1041
Prefiled Testimony of Wood	1044
Cross Examination by Mr. Lackey	1083
Cross Examination by Ms. Barone	1110

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS - VOLUME 7

NUMBER		ID.	ADMTD.
26	(Caplan) deposition DC-1	979	980
27	(Martinez) RM-1, MCImetro/ILEC Interconnection Agreement	1020	1040
28	(Martinez) deposition, RM-2	1039	1040
29	(Martinez) Late-Filed deposition exhibit	1040	1040
30	(Wood) Composite; DJW-1, 2 and 3	1043	
31	(Wood) DJW-4	1043	
32	(Wood) Hypothetical CBG No. 120379701004	1099	
33	(Wood) Hypothetical CBG No. 120379701004 Hatfield Projection	1101	
34	(Wood) Hypothetical CBG No. 120379701004 squares w/houses	1102	
35	(Wood) Hypothetical CBG No. 120379701004 w/mileage	1106	
36	(Wood) Block Group 120110703.012	1107	
37	(Wood) Staff DJW-5 and 6 deposition w/exhibits	1111	

P R O C E E D I N G S

(Hearing reconvened at 12:45 p.m.)

(Transcript follows in sequence from Volume 6.)

CHAIRMAN CLARK: Call the hearing back to order.
Staff.

DREW CAPLAN

resumed the stand, having been previously sworn,
testified as follows:

CROSS EXAMINATION

BY MS. CANZANO:

Q Good afternoon, Mr. Caplan.

A Good afternoon.

Q Mr. Caplan, we're going to ask you some questions,
even though you have stated in your summary that MCI may have
reached agreement on certain elements, we still want to ask
some questions. So I just wanted to let you know what we're
doing.

In broad terms, given that you may have an agreement
in principle, could you please explain MCI's request for a sub-
loop unbundling?

A Yes. And, first of all, I want to just reinforce that
when I say agreement in principle, that there really is no
document that is an agreement. It just means that we've talked
and seem to understand each other. And sub-loop wasn't one of
those that I would put in that category at all.

1 What we want is something that is fairly
2 straightforward. In fact, it's a fairly limited initial
3 request. We recognize that not all loops are the same out
4 there in the field, so to speak. They're cases where there is
5 no discrete feeder and distribution component. That's called a
6 home run. Basically, often in an urban area, you can think of
7 a building that's connected directly to its end office without
8 discrete feeder and distribution.

9 There are other cases where there's old feeder
10 distribution technology that might have been spliced together,
11 encased and put underground and the like. So in either of
12 those situations we're not requesting distribution.

13 What we're specifically requesting is that we can pick
14 up the distribution component of the loop when there is a
15 feeder distribution interface. It's often called a serving
16 area interface, an SAI. Depending upon what region you're in,
17 there's different lingo attached to this.

18 Basically it's the famous green box you may have heard
19 about and you may have one in your neighborhood. That has been
20 done. I have a picture of -- Hopefully I'm going to hold this
21 up well enough and you can see it. This happens to be a green
22 box, serving area interface, that is roughly on the border
23 between US West and Northwest Iowa Telephone in Iowa. Those
24 two companies have been meeting in this box and providing
25 distribution to each other's feeder since 1978 in order to --

1 in that case because they're not competitive, they serve
2 adjacent territories -- in that case they use this to provide
3 foreign exchange service into each other's territories, but
4 technically that's the same thing as a competitor doing it in
5 an overlapping territory. In fact, in this case, their
6 business practice is something well beyond what we're asking
7 for because both companies' technicians are in this box
8 maintaining and installing, where we're asking that BellSouth
9 be responsible, continue to be responsible for install and
10 maintenance on our behalf.

11 Q With respect to sub-loop unbundling, will BellSouth
12 have to modify its multiplexing digital cross connect in order
13 to hand off traffic to MCI?

14 A No.

15 Q Could you explain how the hand off of traffic can
16 occur without any modifications?

17 A Yeah. The best way to describe it is maybe to use
18 AT&T's chart. Can you hear me okay without using the
19 microphone? Is that okay?

20 COMMISSIONER KIESLING: No, you have to use the mike
21 because she has to hear it through her earphones.

22 A Okay. Sorry. We would -- Pictured behind me, if one
23 starts on the, if one starts on the left where the home or the
24 customer's --

25 COMMISSIONER KIESLING: We also have a cordless mike

1 right here; you just have to have something.

2 A I don't want to make this too hard. I just think
3 maybe I can explain it more clearly if I can use the chart.

4 We have all sorts of technology. Okay. I'll do this
5 half-turned away from you. Starting on the left in the
6 diagram, you see the customer's location. And then in this
7 case draped aerially is the distribution portion of the loop.

8 The orange box that is to the right of the telephone
9 pole is the serving area interface or the feeder distribution
10 interface, synonymous terms in this case.

11 MCI -- And then if one notices the line to the right
12 of that box has become purple now. That's the feeder
13 component. So, today BellSouth brings feeder into that box and
14 meets distribution in that box. We would interface by bringing
15 our own feeder to that box meeting existing distribution in
16 that box.

17 So, because we'd be coming out with our own feeder
18 back to our network into that box, all the network to the right
19 of that box is no longer part of that loop. So there's no
20 affect there, no modification. It's just that loop no longer
21 is resident on any of that network to the right.

22 BY MS. CANZANO (Continuing):

23 Q Would the same reasoning apply to integrated digital
24 loop carrier?

25 A The IDLC issue is really a different one. That's not

1 affected. The IDLC takes, happens, the integrated digital loop
2 carrier is picked up here in this gray box labeled
3 "concentrator multiplexer." Because we're essentially removing
4 the service before it gets to that point, that's part of the
5 network on the right that's no longer part of this loop. In
6 fact, this is one of the methods that we could use to be able
7 to successfully swing that customer to us even when they're
8 today on BellSouth's integrated digital loop carrier.

9 Q Mr. Caplan, could you explain your proposal with
10 regards to next generation digital loop carrier?

11 A When -- If I can understand your question correctly,
12 because I don't know that we make a specific proposal in my
13 testimony, but I can certainly -- I have some thoughts on that.

14 Q Or what would you -- Okay. Why don't you just explain
15 your thoughts. This came about as a result of the TELRIC study
16 filed by Ms. Caldwell and she referred to the next generation
17 digital loop carrier and that's the reference we're making.

18 A Okay. I'll do the best I can or tell you my thoughts
19 on that. In this gray box, imagine this whole loop today, the
20 whole service today is on BellSouth. So let's use that as a
21 starting point. BellSouth may -- And I don't know that they've
22 deployed any of this yet or very much of this. We certainly
23 have. It's a standard feature of our network.

24 In this gray box called "concentrator multiplexer"
25 might reside what's called a "next generation digital loop

1 carrier." What that allows is a tremendous amount of
2 flexibility and efficiency in the network. The reason we
3 deploy it is the same reason I imagine they might at some point
4 in the future deploy it. It allows BellSouth to concentrate
5 all the loops that are coming to that device so that far fewer
6 channels have to be pulled back to the switch. So, for
7 instance, for perhaps 100 customers would result in only having
8 to carry one DS-1 or 24 channels back through the network. Why
9 is that? Because that concentration happens in the next
10 generation digital loop carrier.

11 The bottom line is as it pertains to unbundling the
12 network, we'd have a couple of options there. One is if we
13 were picking up just the sub-loop, then we're removing that
14 circuit off of their next generation digital loop carrier, like
15 I mentioned, and that is not an issue any more. But if
16 alternatively we weren't in a position to pick up that
17 particular customer's loop at the distribution component or
18 desired to purchase the whole loop, BellSouth would have to
19 move that circuit, in essence, off of its existing channel
20 because back at the switch -- Where's the switch? There's the
21 switch. -- back at the switch that individual loop no longer
22 has an individual voice grade appearance. Think of it as the
23 loop and all the others that it's packaged with go directly
24 into the switch. So that has been cited as a problem by
25 perhaps BellSouth and some others saying, well, you can't

1 unbundle that loop because it goes right into the switch.
2 There's no loop appearance any more at our switch.

3 And the answer to that is with next generation digital
4 loop carrier there are many options. They can, for instance,
5 avail to us a separate DS-1 from their next generation digital
6 loop carrier that we could provision to our switch and simply
7 then when we wanted to unbundle that loop, we could swing that
8 customer, still within their concentrator, over to a DS-1 that
9 pointed to our switch.

10 I hope that was clarifying. It's a little technical,
11 I know.

12 Q That's fine. Thank you. Has MCI reached an agreement
13 with BellSouth on collocation rates and charges?

14 A I'm not a rates and charges person, but it's my
15 understanding that we have not.

16 Q Has BellSouth provided a TELRIC based cost study for
17 collocation to your knowledge?

18 A I wouldn't know.

19 Q On what previous experience or other basis have you
20 determined that the appropriate time frame to establish
21 collocation is three months for physical collocation and two
22 months for virtual collocation?

23 A Really it's based on two things. It's based on
24 practical experience, having been in this business for 25
25 years. It's also based on the fact that we offer collocation

1 to our customers in MCI sites. And sometimes in a competitive
2 environment our intervals are about a week. Three months, in
3 fact, is I think very generous. Really what BellSouth has to
4 do to offer physical collocation is to build a cage. There's
5 some work that they have to do to provide power to it as well,
6 but if you were, for instance, to have this work done in your
7 home, in your basement by an independent contractor because you
8 wanted to fence off a little portion of your basement, in my
9 opinion it shouldn't take more than a week.

10 Q When you say that MCI provides collocation, is that
11 virtual or physical or both?

12 A It's different, but the best answer is it's akin to
13 physical. I want to qualify that. MCI doesn't cage off a
14 separate space for the customer, but we do dedicate them a
15 space. The concept of needing it caged off and the like, it's
16 a little different because that's a competitive vendor/customer
17 relationship, not a competitor/competitor relationship.

18 Q Has BellSouth proposed a time frame to MCI for
19 establishing collocation?

20 A I'm not aware of one. I imagine their existing
21 tariffs have a time frame for virtual but I don't know it
22 offhand.

23 Q Is MCI virtually collocated with BellSouth Florida?

24 A Yes, we have a collocate in Miami; so we have at least
25 that one.

1 Q In your opinion which company should bear the costs
2 for MCI's conversion from virtual collocation to physical
3 collocation?

4 A I know as a businessman what my answer would be, but I
5 think that's really left to the costing witnesses that MCI is
6 bringing to this proceeding.

7 Q And could you -- Okay. Thank you. Mr. Caplan, have
8 you had a chance to review a document that Staff has put
9 together as DC-1, consisting of your deposition transcript?

10 A I have received that document. Because I've been
11 virtually on the road for the last three weeks, I haven't yet
12 reviewed it thoroughly enough to have completed the errata
13 sheet.

14 MS. CANZANO: Perhaps what we could do is Staff would
15 like to mark this for identification and before the end of the
16 proceeding, you know, indicate for the record any changes you
17 have to this.

18 MS. McMILLIN: That will be fine.

19 MS. CANZANO: Thank you.

20 CHAIRMAN CLARK: We'll mark DC-1 as Exhibit 26, with
21 the understanding that an errata sheet, if any, will be
22 provided. How long do you need?

23 MS. McMILLIN: I'm sorry, I didn't hear what you said,
24 Madam Chairman.

25 CHAIRMAN CLARK: How long would it take you to review

1 this and provide the errata sheet?

2 MS. McMILLIN: By the end of tomorrow.

3 CHAIRMAN CLARK: Great. So, we'll include in item 26
4 the errata sheet.

5 (Exhibit No. 26 marked for identification.)

6 BY MS CANZANO (Continuing):

7 Q And subject to check with the errata sheet, after you
8 review that, I'll assume you'll let us know if this isn't true
9 or correct to the best of your knowledge; correct?

10 A Yes. We'll work out the logistics for doing that,
11 but, yes.

12 MS. CANZANO: With that, Staff has no further
13 questions.

14 CHAIRMAN CLARK: Commissioners?

15 Redirect.

16 MS. McMILLIN: Just one, Madam Chairman.

17 REDIRECT EXAMINATION

18 BY MS. McMILLIN:

19 Q Mr. Caplan, you were asked some questions on cross by
20 Staff that pertain to sub-loop unbundling, which brings me to a
21 question of why does MCI want unbundled distribution?

22 A MCI has invested quite speculatively and quite heavily
23 in building fiber rings. These rings nationally pass tens of
24 thousands of buildings. By pass, I mean literally pass by the
25 front door. In Florida I'd estimate our rings pass by at least

1 a thousand buildings; that's an estimate. Despite passing by
2 so many buildings, we're really only able to get into very few
3 of them because our ability to provide the facility based
4 service end to end to the customers in those buildings becomes
5 a building-by-building negotiation exercise with the landlords.
6 And that's MCI's problem; that's not, you know, for the
7 Commission to worry about our woes in negotiating with
8 landlords, but, nonetheless, left to that it's a real inhibitor
9 to effective competition taking root.

10 Now, if we've already built these high capacity fiber
11 facilities and they're passing by distribution points, it makes
12 great sense from a network perspective and from an efficiency
13 and economic perspective for us to be able to get into the
14 green box and pick up the distribution that's served by that
15 serving area interface. It's a good efficient design and it's
16 clearly feasible.

17 MS. McMILLIN: I have no further questions. May
18 Mr. Caplan be excused?

19 CHAIRMAN CLARK: Staff, would you like to move that
20 Exhibit?

21 MS. CANZANO: Yes, Staff moves 26.

22 CHAIRMAN CLARK: All right. Exhibit 26 will be
23 entered in the record without objection.

24 (Exhibit No. 26 received into evidence.)

25 CHAIRMAN CLARK: And you are excused, Mr. Caplan.

1 Thank you.

2 WITNESS CAPLAN: Thank you.

3 MS. McMILLIN: MCI calls Ron Martinez as our next
4 witness.

5 RONALD MARTINEZ

6 having been duly sworn, testified as follows:

7 DIRECT EXAMINATION

8 BY MS. McMILLIN:

9 Q Please state your name and business address.

10 A My name is Ronald Martinez and I work at 780 Johnson
11 Ferry Road in Atlanta, Georgia.

12 Q By whom are you employed and in what capacity?

13 A MCI Telecommunications in the role of carrier
14 relations for MCI.

15 Q Mr. Martinez, are you adopting the Direct Testimony of
16 Terry Farmer, which was filed in this docket on August 22nd,
17 1996, and consists of 17 pages?

18 A Yes, I am.

19 Q And on September 4th, 1996 did you cause to be filed a
20 replacement for page 1 of Ms. Farmer's testimony, which
21 substitutes information about your background and experience
22 for that of Ms. Farmer?

23 A Yes, I did.

24 Q With that substitute page 1, do you have any changes
25 or corrections to make to that testimony?

1 A No, I do not.

2 Q Have you prefiled Rebuttal Testimony in this docket
3 dated September 16th, 1996, and consisting of 14 pages?

4 A Yes, I did.

5 Q Do you have any changes or corrections to that
6 testimony?

7 A No, I do not.

8 Q With the substitute page 1 to the Direct Testimony, if
9 I were to ask you the same questions today, would your answers
10 be the same?

11 A Yes, they would.

12 Q And if I were to ask you today the same questions in
13 your rebuttal testimony, would your answers be the same?

14 A Yes, they would.

15 MS. McMILLIN: At this time I would ask that the
16 Direct and Rebuttal Testimony be inserted in the record as
17 though read.

18 CHAIRMAN CLARK: The Direct and Rebuttal Testimony
19 will be inserted in the record as though read.

20 BY MS. McMILLIN (Continuing):

21 Q Was there one exhibit attached to your rebuttal
22 testimony identified as Exhibit RM-1?

23 A Yes, there was.

24 Q Do you have any changes or corrections to that
25 exhibit?

1 A No, I do not.

2 Q Is the information contained in that exhibit true and
3 correct to the best of your knowledge and belief?

4 A Yes, it is.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 DIRECT TESTIMONY OF RONALD MARTINEZ

2 ON BEHALF OF MCI

3 DOCKET NO. 960846-TP

4 (SUBSTITUTE FOR AUGUST 22, 1996, TESTIMONY OF TERRY FARMER)

5 Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

6 A. My name is Ronald Martinez and my business address is 780 Johnson Ferry
7 Road, Atlanta, Georgia 30342.

8 Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?

9 A. I am employed by MCI Telecommunications Corporation as an Executive Staff
10 Member - Carrier Relations.11 Q. PLEASE GIVE A BRIEF DESCRIPTION OF YOUR BACKGROUND AND
12 EXPERIENCE.13 A. I have been employed by MCI since 1988. I currently have responsibility for
14 managing business relationships between MCI and numerous local exchange
15 companies, including BellSouth, GTE, and approximately 500 independent
16 companies in twenty-one states. I have experience in network engineering,
17 administration and planning; facilities engineering, management and planning;
18 network sales; and technical sales support. Prior to joining MCI, I was the
19 Director of Labs for Contel Executone for several years. Before that, I
20 worked for 16 years in the Bell system in numerous engineering, sales, and
21 sales support functions. I have a Master of Science degree in Operations
22 Research, and a Bachelor of Science degree in Electrical Engineering from the
23 University of New Haven.

24 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?

25 A. The purpose of my testimony is to identify the operations support systems that

1 MCI and other new entrants will require be implemented to eliminate, to the
2 greatest extent possible, barriers to competition. As explained further herein,
3 access to key databases and operations support systems is essential for MCI to
4 be able to offer local exchange telecommunications and exchange access
5 service competitively. Nondiscriminatory access to ILEC databases and
6 systems is necessary to ensure that the ILECs do not gain an unfair market
7 advantage through their control of their networks and these essential databases
8 and systems. In this testimony, I will explain the systems, databases, and
9 processes to which MCI requires access to provide services equal in quality to
10 the ILECs.

11
12 Q. PLEASE EXPLAIN THE IMPLICATIONS OF THE RECENT FCC ORDER
13 AND RULES ON THIS ISSUE.

14 A. The FCC has come to the same conclusion as MCI. In its discussion of
15 Operations Support Systems in the August 8, 1996 Order implementing the
16 local competition provisions of the Telecommunications Act of 1996, the FCC
17 found:

18 that it is absolutely necessary for competitive carriers to
19 have access to operations support systems functions in
20 order to successfully enter the local service market.

21 (Paragraph 521)

22 Moreover, the FCC concluded that:

23 operations support systems and the information they
24 contain fall squarely within the definition of "network
25 element" and must be unbundled upon request under

1 section 252(c)(3). (Paragraph 516)

2

3 Q. WHY IS NONDISCRIMINATORY ACCESS TO THE ILEC'S
4 UNBUNDLED OPERATIONS SUPPORT SYSTEMS NECESSARY?

5 A. In competitive markets, providers compete on such factors as customer service
6 and quality of service in addition to service features and price. Customer
7 service and quality of service include such factors as the time to install
8 service, the time to repair service when trouble is reported, and the accuracy
9 of the bill rendered, in addition to overall responsiveness to customer
10 inquiries. To the extent that ILEC competitors such as MCI must rely on the
11 underlying network of the ILEC to provide local and exchange access service -
12 - either through resale of services (including ancillary services) or through
13 leasing of unbundled network elements (including those needed to provide
14 ancillary services) -- competitors' ability to control customer service or quality
15 of service they offer is limited. To that same extent, an ILEC has incentives
16 to provide a lower quality of service to competitors because consumers will
17 blame the CLEC, rather than the ILEC for any problems. Consequently,
18 access to the ILEC's operations support systems is critical to competitors'
19 ability to provide quality service and meet customers' service delivery
20 expectations.

21

22 Q. HOW IS THIS ISSUE ADDRESSED BY THE FCC IN ITS RECENT
23 ORDER?

24 A. The FCC explicitly recognized this at paragraph 525 in its Order:
25 in order to comply fully with section 251(c)(3), an

1 incumbent LEC must provide, upon request,
2 nondiscriminatory access to operations supports systems
3 functions for pre-ordering, ordering, provisioning,
4 maintenance and repair, and billing of unbundled
5 network elements under section 251(c)(3) and resold
6 services under section 251(c)(4). Incumbent LECs that
7 currently do not comply with this requirement of section
8 251(c)(3) must do so as expeditiously as possible, but in
9 any event no later than January 1, 1997.

10 The FCC Order also identifies, at paragraph 518, the sort of operations
11 support systems databases to which access is necessary:

12 Without access to review, *inter alia*, available telephone
13 numbers, service interval information, and maintenance
14 histories, competing carriers would operate at a
15 significant disadvantage with respect to the incumbent.

16 Other information, such as the facilities and services
17 assigned to a particular customer, is necessary to a
18 competing carrier's ability to provision and offer
19 competing services to incumbent LEC customers.

20 Finally, ... access to the information such [operations
21 support] systems contain, is vital to creating
22 opportunities for meaningful competition.

23
24 Q. WHAT SHOULD BE THE COMMISSION'S MAIN CONSIDERATION IN
25 ITS RESOLVING OPERATIONS SUPPORT SYSTEM FUNCTION AND

1 **DATABASE ISSUES?**

2 **A. In considering the appropriate nature and extent of access to these systems and**
3 **databases, the overarching principle that the Commission or any inter-carrier**
4 **contract should strive to achieve is "service parity." In several places in its**
5 **Order, the FCC explicitly recognized the need for parity. For example, in its**
6 **discussion of resale services, at paragraph 970, the Commission stated:**

7 **We conclude that service made available for resale be at**
8 **least equal in quality to that provided by the incumbent**
9 **LEC to itself or to any subsidiary, affiliate, or any other**
10 **party to which the carrier directly provides the service,**
11 **such as end users. Practices to the contrary violate the**
12 **1996 Act's prohibition of discriminatory restrictions,**
13 **limitations or prohibitions on resale. This requirement**
14 **includes differences imperceptible to end users because**
15 **such differences may still provide incumbent LECs with**
16 **advantages in the marketplace. Additionally, we**
17 **conclude that the incumbent LEC services are to be**
18 **provisioned for resale with the same timeliness as they**
19 **are provisioned to the ILEC's subsidiaries, affiliates, or**
20 **any other party to which the carrier directly provides the**
21 **service, such as end users.**

22 **Similar language appears in other sections of the Order -- based on language in**
23 **the Act. For example, in the discussion of interconnection at paragraph 224,**
24 **the Commission stated:**

25 **We conclude that the equal in quality standard of section**

1 251(c)(2)(C) requires an incumbent LEC to provide
2 interconnection between its network and that of a
3 requesting carrier at a level of quality that is at least
4 indistinguishable from that which the incumbent provides
5 itself, a subsidiary, an affiliate, or any other party. We
6 agree with MFS that this duty requires incumbent LECs
7 to design interconnection facilities to meet the same
8 technical criteria and service standards, such as
9 probability of blocking in peak hours and transmission
10 standards, that are used within their own
11 networks...[W]e further conclude that the equal in quality
12 obligation imposed by section 251(c)(2) is not limited to
13 the quality perceived by end users. The statutory
14 language contains no such limitation, and creating such a
15 limitation may allow incumbent LECs to discriminate
16 against competitors in a manner imperceptible to end
17 users, but which still provides incumbent LECs with
18 advantages in the marketplace...

19
20 **Q. WHAT SHOULD THE COMMISSION DO TO FOSTER SERVICE**
21 **PARITY?**

22 **A. Toward this goal, the Commission must specifically reject any ILEC assertions**
23 **that the only standards of quality to which they should be held are those**
24 **standards currently in place via Commission quality rules or state statutes. It**
25 **must be understood that those standards, some of which may be outdated,**

1 were developed to enforce minimum requirements for retail services. The
2 services in question here are either network elements or services provided on a
3 wholesale basis to competitors for their provision of competing retail services.
4 It is for this purpose that the FCC's standard of "parity" is critical. Allowing
5 an ILEC to provide to MCI services at lower levels of quality than the levels it
6 provides to itself (including operational coordination), even if meeting current
7 Commission standards for retail services, will either reduce the quality of
8 MCI's service or force MCI to incur unnecessary costs in order to provide a
9 competitive product, thus hindering competition.

10 Parity -- in the FCC context of being at least of equal quality -- can
11 only be measured in terms of detailed technical standards, interfaces, and
12 performance measures (such as installation intervals and maintenance and
13 repair times) that are better addressed in mediated negotiations or industry fora
14 than in contested hearings. At the same time, full implementation of these
15 standards, interfaces, and measures must be achieved in order to ensure that
16 the ILEC has met its unbundling and resale requirements under Section
17 251(c)(3) and 251(c)(4) of the Act and -- where the ILEC is an RBOC-- before
18 the Section 271 checklist can be met to allow the RBOC to provide long
19 distance service in-region. This need not create a problem of timing,
20 however, since as the FCC concluded in its Order, access to ILEC operations
21 support systems and databases is technically feasible today (Paragraph 520),
22 and in fact the FCC has ordered the ILECs to comply with its access
23 requirements by January 1, 1997. While issues involving these detailed
24 standards, interfaces, and measures were asked by MCI to be addressed in a
25 process that runs concurrent with, but separate from, a contested arbitration

1 hearing, these, standards, interfaces, and measures, to the extent they are
2 unresolved, must be resolved as a part of this arbitration process.

3

4 Q. SHOULD THE COMMISSION ENCOURAGE STANDARDIZED
5 INTERFACES TO ILEC DATABASES AND SUPPORT SYSTEMS?

6 A. ILECs that provide unique interfaces to their databases and operations support
7 systems do not meet the requirement to provide access of equal quality to
8 operations support systems. If each ILEC is allowed to develop its own
9 unique gateway to these systems, as NYNEX is attempting to do today, the
10 burden for new entrants like MCI will be unnecessarily increased by the
11 requirement to develop separate interfaces and systems for each ILEC. The
12 FCC stated, at paragraph 527:

13 Ideally, each incumbent LEC would provide access to
14 support systems through a nationally standardized
15 gateway. Such national standards would eliminate the
16 need for new entrants to develop multiple interface
17 systems, one for each incumbent.

18 The FCC is confident that this will happen, citing (at paragraph 514) an *ex*
19 *parte* letter filed in the proceeding in which Bell Atlantic and AT&T state that
20 they expect that, given appropriate guidance from the Commission, the
21 industry can achieve consensus on sufficient data elements and formatting
22 conventions to facilitate that 95% of all inter-telecommunications company
23 transactions may be processed via electronic gateways within twelve months.
24 We are less confident that this will happen unless the states and the FCC
25 implement rules that require the industry to do so rather than allowing

1 individual ILECs to develop their own proprietary gateways.

2

3 Q. DESCRIBE THE VARIOUS FUNCTIONS FOR WHICH ACCESS TO
4 OPERATIONS SYSTEMS ARE NECESSARY.

5 A. The FCC Order identified a number of functions that are performed by ILEC
6 operations support systems. These include: 1) pre-ordering and ordering
7 processes, 2) provisioning and installation, 3) maintenance and trouble
8 resolution, and 4) billing. Competitors must have access to ILEC systems that
9 provide these functions on an equal basis. I discuss what that means below.

10

11 Q. PLEASE DESCRIBE THE PRE-ORDERING AND ORDERING
12 PROCESSES.

13 A. Pre-ordering and ordering processes involve the exchange of information
14 between LECs about current or proposed customer products and services, or
15 unbundled network elements, or some combination. Intercompany procedures
16 must be developed to support the ordering of unbundled network elements
17 (such as loops and subloop elements, transport, and switching), interconnection
18 facilities (trunks, etc.), resold wholesale services, and ancillary services such
19 as interim number portability mechanisms (e.g., remote call forwarding and
20 direct inward dialing), and customer listing databases that support the white
21 pages directory and directory assistance databases. For example, when MCI
22 uses resale or unbundled elements to provide service to our end users, it is
23 necessary for us to submit orders for such services to the ILEC. If MCI is
24 forced to utilize ordering procedures and interfaces that are inferior to that
25 which the ILEC provides to itself, then we will not be able to provide to our

1 customers an offering equivalent to that provided by the ILEC.

2 The ordering interface used by the ILEC is direct electronic access to
3 systems that permit the simultaneous establishment of the customer account
4 and of the service installation. For example, when a customer calls an ILEC
5 customer representative, that customer's account can be established
6 immediately, a telephone number given, and an installation date determined.
7 If the ILEC does not provide direct electronic access to such systems, MCI
8 will not be able to provide potential customers with their new telephone
9 numbers (in the case of resale) in "real time" (during the phone call) the way
10 the ILEC can, or to inform customers of the service installation date (in the
11 case of either resale or unbundled elements) in real time fashion, the way the
12 ILEC can.

13 The importance of access to ILEC operations support systems using
14 electronic interfaces is demonstrated by the case of Rochester Telephone, in
15 which AT&T was not given electronic interfaces with Rochester's ordering
16 systems. Rather, AT&T had to rely on paper faxes to submit orders. Not
17 only did this paper process result in the types of delays and lack of service
18 parity noted above, it was also enormously inefficient and could not handle
19 orders in any significant quantity. In the absence of electronic interfaces for
20 order processing, the ILEC will not be providing "service parity" to MCI.

21 Thus, the directive to provide equal quality service requires that ILEC
22 provide to MCI electronic, real-time interfaces with the ILEC ordering systems
23 for the ordering of trunks, unbundled elements, resale and other ILEC services
24 to ensure MCI's orders are processed with the same efficiency that the ILEC
25 provides to itself or its affiliates. These electronic interfaces should conform,

1 to the extent practical, to current or expected industry standards. To the
2 extent the ILEC develops a proprietary and different electronic interface
3 system, MCI will be forced to expend additional resources to use the
4 interfaces.

5 In addition, a mechanism is needed to enable MCI to transfer customers
6 from ILECs quickly and easily. This "transfer-as-is" mechanism would allow
7 MCI to present a wholesale order form to an ILEC instructing the ILEC to
8 transfer a customer to MCI and include all existing services and functionalities
9 to which the customer subscribes. Without a mechanism that allows for quick
10 and accurate transfers for existing customers, efficient shifting between local
11 carriers will be deterred. The FCC recognized the need for such transfers in
12 paragraph 421:

13 We agree with CompTel and LDDS that new entrants
14 will be disadvantaged if customer switchover is not rapid
15 and transparent. We also note that the Michigan
16 Commission has recognized the significance of customer
17 switchover intervals and has directed Ameritech and GTE
18 to file proposals on how they will "ensure the equal
19 availability of expeditious processing of local,
20 interLATA, and intraLATA carrier changes." [footnote
21 omitted] Therefore, we require incumbent LECs to
22 switch over customers for local service in the same
23 interval as LECs currently switch end users between
24 interexchange carriers

25

1 Q. PLEASE DESCRIBE THE PROVISIONING AND INSTALLATION
2 FUNCTIONS.

3 A. Provisioning involves the exchange of information between LECs in which one
4 executes a request for a set of products and services or unbundled network
5 elements (or a combination) from another with attendant acknowledgements
6 and status reports. Service parity requires that when MCI initiates an order
7 for an unbundled network element, interconnection trunk, resold wholesale
8 service, or other ILEC equipment, facility, or service, our order is processed
9 through the same provisioning and installation systems as orders initiated by
10 the ILEC. Just as ILEC service representatives have real time access to the
11 ILEC provisioning system to track the status of installation, an important
12 customer service, MCI requires real time access to those provisioning systems
13 in order to track installation status.

14 The ILECs have (or should have) target installation intervals for most,
15 if not all, services. To ensure these same intervals are available to all
16 providers of local service, the Commission should require the ILEC to report
17 regularly the installation intervals for CLECs and itself on each type of
18 installation. Absent such monitoring and reporting, the ILEC could take
19 advantage of the opportunity to provide shorter service installation intervals for
20 its own customers than for CLECs or their customers. Such potential
21 discriminatory treatment can be minimized, if not prevented, by establishing
22 monitoring and reporting requirements.

23

24 Q. PLEASE DISCUSS THE MAINTENANCE AND TROUBLE RESOLUTION
25 FUNCTIONS.

1 A. Maintenance and repair involves the exchange of information between LECs in
2 which one initiates a request for repair of existing products and services or
3 unbundled network elements (or combination) from the other with attendant
4 acknowledgements and status reports. As with ordering and provisioning,
5 customers will judge the quality of MCI's service by its response time when
6 trouble is reported. Because many of these troubles will not be problems
7 *within MCI's control*, but rather within the control of the ILEC, it is critical
8 that MCI have access to the ILEC's trouble reporting, tracking and resolution
9 systems and that the ILEC meets the same standards for MCI as for its
10 customers.

11 MCI is requesting a single point of contact with the ILEC with 24 hour
12 a day, 7 day a week (7/24) coverage. In addition, MCI requires a trouble
13 management and escalation process with repair intervals equivalent to that
14 which the ILEC provides for itself. Failure to have these procedures will
15 inhibit MCI's ability to resolve trouble reports, restore service in a timely
16 manner and maintain the image of a quality provider in customers' eyes. As
17 with other operations support systems functions, MCI requires real time access
18 to the ILEC's Trouble Reporting system so that MCI's customer service
19 personnel can provide real time trouble tracking for our customers. In
20 addition, the Commission should establish a reporting requirement to ensure
21 that the ILEC is resolving MCI's and other competitors' maintenance and
22 repair problems within the same time intervals as it resolves its own trouble
23 reports. Failure to have such a reporting requirement provides the opportunity
24 for unequal and discriminatory treatment.

25

1 Q. PLEASE DESCRIBE THE ISSUES REGARDING THE BILLING
2 FUNCTIONS.

3 A. Billing issues can be divided into two categories: billing between ILECs and
4 CLECs, and billing of end user customers. For ILEC/CLEC billing, a CABS
5 or CABS-like billing system should be used for charges related to
6 interconnection, unbundled elements, and resale. While CABS may require
7 modifications to be able to bill these elements, it is a system that is familiar to
8 both ILECs and CLECs and has been the foundation for intercompany billing
9 since access charges began. A CABS-like system would be cost effective
10 because a standardized format would be used for all carriers, rather than a
11 format unique to each LEC. It is important that any system used provide
12 timely and accurate billing detail and be subject to audit reviews.

13 Timely and accurate billing detail is also needed for billing of end user
14 customers. Customers expect to receive accurate bills on a timely basis
15 reflecting their actual level of service with appropriate rates and charges. For
16 this to happen, it is necessary that the ILECs and CLECs exchange billing
17 information in an efficient, timely manner.

18 The quality of items purchased from the ILEC, including
19 interconnection trunks, unbundled elements, resold wholesale services, and
20 other ILEC items, should be of the same quality as the ILEC provides to
21 itself, not merely the standards in the Commission's rules or state statutes, as
22 discussed above. Anything less would constitute discriminatory treatment and
23 would be a violation of the Act. To assure this quality standard, we propose
24 that state commissions require the ILEC to report regularly on quality
25 standards such as average outage durations and the percent of call blocking for

1 new entrants and itself.

2

3 Q. IDENTIFY THE VARIOUS DATABASES TO WHICH MCI AND OTHER
4 CLECS SHOULD HAVE NONDISCRIMINATORY ACCESS.

5 A. In order to be able to access and commercially use the ILECs' unbundled
6 elements and resold services, CLECs need access to ILEC operations support
7 systems and databases that house the following kinds of information:

- 8 o Centrex Business Group Information, which contains the centrex dialing plan
9 and a feature information database. With access to this information, MCI
10 could migrate a centrex application from the ILEC to itself without disrupting
11 the customer's service.
- 12 o Intercept Information, which contains records relevant to customer disconnect
13 referrals. Access to this information would allow MCI to monitor the
14 accuracy of ILEC disconnect referrals.
- 15 o Operator Reference Information, which contains general information regarding
16 valid area codes, exchanges, and dialing instructions. Access to this
17 information is critical if MCI is to provide a full range of operator services.
- 18 o Customer Record Information System (CRIS), which contains the ILEC's
19 database of customer orders. Access to this database is required for MCI to
20 monitor the status and verify service installations and disconnects, and is
21 particularly important for service parity when MCI resells the incumbent's
22 local services.
- 23 o Emergency Services Information, which associates customer name and address
24 to 911 routing plans.
- 25 o Repair/Dispatch Information, which would allow MCI to monitor the status of

- 1 repairs and dispatches of repair personnel related to use of MCI-purchased
2 unbundled ILEC network functions or resold ILEC services.
- 3 o Installation/Order Processing data, which allows MCI to monitor the status of
4 service activation related to our use of unbundled ILEC network functions or
5 resold ILEC services.
- 6 o Switch Network ID data, which describes each ILEC switch, including
7 services supported through each switch, NPA-NXXs served, business and
8 residential line counts, and rate centers served, *etc.* Access to this database is
9 critical to planning efficient local interconnection.
- 10 o Local Calling Area data, which describes local calling areas and extended area
11 service calling areas. MCI needs access to this database to construct accurate
12 switch routing tables for our networks when mirroring existing ILEC local
13 calling areas.
- 14 o CMDS contains the industry standard mechanism for the exchange of billed
15 messages such as third-party billed, collect, and calling card messages.
16 Access to this database is necessary for MCI participation in the intercompany
17 arrangements for the clearing of these calls.
- 18 o Plant inventory data, containing information on conduit, fiber, switch port,
19 loop feeder, and loop distribution. Access to this database is necessary to
20 reduce the likelihood that MCI will request infeasible points of interconnection
21 or unbundled network functions. Additionally, access will allow MCI and
22 regulators to ensure that ILEC facilities are made available on a non-
23 discriminatory basis.
- 24 o Number Assignment data, access to which would allow MCI, using resold
25 ILEC service or unbundled local switching, to assign numbers to our

1 customers directly, rather than rely on the ILEC to assign phone numbers to
2 MCI customers. As a result, MCI would avoid discriminatory delays to
3 fulfillment of the service order.

4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. DO YOU HAVE ANY FINAL REMARKS?

A. The FCC has concluded that it is imperative for competitive carriers to have access to operations support systems functions to allow them to offer local exchange telecommunications and exchange access services on a competitive basis. Consistent with the FCC's conclusion, this Commission should require nondiscriminatory access to ILEC databases and systems to ensure that ILECs do not gain an unfair market advantage and thwart competitive entry into the local exchange market.

Q. DOES THIS COMPLETE YOUR TESTIMONY?

A. Yes.

1 REBUTTAL TESTIMONY OF RONALD MARTINEZ

2 ON BEHALF OF MCI

3 DOCKET NO. 960846-TP

4 September 16, 1996

5

6 Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

7 A. My name is Ronald Martinez and my business address is 780 Johnson Ferry
8 Road, Atlanta, Georgia 30342.

9

10 Q. HAVE YOU PREVIOUSLY FILED TESTIMONY IN THIS PROCEEDING?

11 A. Yes. I have previously adopted the direct testimony filed by Terry Farmer on
12 August 22, 1996.

13

14 Q. WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?

15 A. The purpose of my testimony is to respond to the testimony of Ms. Calhoun,
16 and specifically to correct any misunderstandings which exist with regard to
17 MCI's requirements for bills for resold services; to discuss why billing issues
18 are so important for new entrants in the local market; to explain why it is
19 critical for new entrants to have pre-ordering access to customer service
20 records -- with the permission of the customer; and to demonstrate that the
21 absence of electronic interfaces hampers new entrants and prevents them
22 from being able to provide the same level of service as incumbent LECs.

23

24 Q. MS. CALHOUN AT PAGES 7-8 OF HER DIRECT TESTIMONY DATED

1 **SEPTEMBER 9, 1996, TESTIFIES THAT BELLSOUTH BELIEVES MCI'S**
2 **OBJECTIVE IS TO FORCE BELLSOUTH TO RENDER BILLS FOR**
3 **RESOLD SERVICES VIA THE CARRIER ACCESS BILLING SYSTEM**
4 **("CABS"). PLEASE CLARIFY MCI'S BILLING REQUIREMENTS FOR**
5 **RESOLD SERVICES.**

6 **A. MCI is not attempting to tell BellSouth out of what system it should render its**
7 **bills for resold services. MCI does not care what system BellSouth uses as**
8 **long as it receives a CABS formatted billing tape.**

9
10 **At the industry Ordering and Billing Forum ("OBF") 55 held in August, 1996,**
11 **final closure was reached on the specifications for CABS formatted billing for**
12 **resold services. MCI is simply requesting that it receive bills for resold**
13 **services in the format specified at the OBF. At page 49 of her August 12,**
14 **1996 testimony Ms. Calhoun states that "if at some time in the future, the**
15 **industry were to define CABS as the standard for resale billing, the matter**
16 **should be addressed at that time." OBF has now agreed upon standards for**
17 **CABS formatted billing for resold services.**

18
19 **In light of Ms. Calhoun's testimony, MCI fails to understand BellSouth's**
20 **continued reluctance to provide bills for resold services in CABS, the industry**
21 **standard format. This is particularly so given Ms. Calhoun's statement at page**
22 **24 of her direct testimony that BellSouth started development of systems**
23 **compliant with OBF standards for ordering even before there was final closure**
24 **on the ordering standards for resold service.**

1 Q. AT PAGES 8-9 OF HER DIRECT TESTIMONY DATED AUGUST 12, 1996
2 MS. CALHOUN COMMENTS ON THE IMPORTANCE OF INDUSTRY
3 STANDARDS FOR RESALE. SHE STATES THAT BELL SOUTH HAS
4 EVERY INTENTION OF COMPLYING WITH INDUSTRY STANDARDS
5 FOR ORDERING AS THEY BECOME AVAILABLE. WHY IS IT
6 IMPORTANT THAT BELL SOUTH ALSO CONFORM TO THE INDUSTRY
7 CONSENSUS ON BILLING FORMATS?

8 A. BellSouth suggests that resale billing should be provided through the BellSouth
9 Customer Record Information System ("CRIS") billing system. As set forth
10 above, MCI does not care what system BellSouth uses. What MCI objects to is
11 BellSouth providing resale billing in a non-standard format which would
12 require MCI to build numerous front ends for data receipt, as well as different
13 systems for bill audit.

14
15 The CRIS system is a proprietary system. As such, OBF has consciously
16 decided not to develop standard formats for CRIS billing. It will create a
17 significant barrier to entry for MCI and other ALECs if they are required to
18 accommodate multiple bill formats for receipt and auditing of billing data for
19 resold services. BellSouth and the FCC have both acknowledged the
20 importance of industry standards for the processes used to implement local
21 competition. Billing is just as critical to successful market entry as ordering
22 and as such BellSouth should be required to produce a bill for resold services
23 in an industry standard billing format.

24

1 Q. MS. CALHOUN STATES AT PAGE 8 OF HER SEPTEMBER 9, 1996
2 TESTIMONY THAT THE CABS BILLING SYSTEM, WITHOUT
3 EXTENSIVE AND COSTLY MODIFICATION, IS NOT CAPABLE OF
4 ACCOMPLISHING BILLING AS DESIRED BY MCI. IS ANY RBOC
5 TODAY PRODUCING BILLS FOR RESOLD SERVICES IN THE OBF
6 CABS DATA FORMAT?

7 A. NYNEX plans to produce bills for resold services in OBF CABS format
8 effective October 1, 1996. NYNEX will take output from its CRIS system and
9 reformat it to the OBF CABS billing data format for resold services. Pacific
10 Bell is today using a CABS data format for certain services and is moving
11 towards full implementation of OBF billing data formats for resold services.
12 Both these RBOCs began development work on the CABS billing format for
13 resold services in advance of final closure on this issue at the OBF.

14
15 Q. AT PAGE 9 OF HER SEPTEMBER 9, 1996 TESTIMONY, MS. CALHOUN
16 STATES THAT ONLY THE CRIS SYSTEM CAN PRODUCE LINE LEVEL
17 DETAIL. PLEASE EXPLAIN SOME OF THE REQUIREMENTS
18 CONTAINED IN THE CABS BILLING DATA FORMAT THAT THE CRIS
19 BILLING FORMAT FAILS TO PROVIDE.

20 A. There are a number of requirements for billing resold services contained in the
21 OBF CABS billing data tape or feed format that are not provided in CRIS
22 billing. Let me describe a few of the key missing outputs.

23
24 There is no adjustments section on the CRIS bill that can be related to claims

1 for misbilling. This is a key requirement so that, as disputes are resolved,
2 MCI can track their resolution. Even more important, there is no reflection of
3 the products and services to which customers subscribe. In the CRIS
4 environment, only the initial customer bill reflects detailed customer service
5 information. Thereafter features and functions are not ordinarily broken out on
6 monthly bills. This information is critical for MCI to insure it is paying only
7 for services that it has purchased.

8
9 Moreover, if there are different bill outputs based on whether the purchase is
10 in the initial month or not, MCI would be required to build multiple auditing
11 systems to audit the CRIS bills. Finally, the CRIS bills fail to have
12 jurisdictional indicators or provide total minutes of use.

13

14 Q. AT PAGES 4-5 OF HER SEPTEMBER 9, 1996 TESTIMONY, MS.
15 CALHOUN PROVIDES REASONS WHY IT IS NOT PROPER TO SUPPLY
16 CUSTOMER SERVICE RECORDS ("CSRs") TO MCI PRIOR TO ORDERS
17 BEING PROCESSED. IS MCI REQUESTING TO OBTAIN CUSTOMER
18 SERVICE INFORMATION WITHOUT THE CUSTOMER'S CONSENT?

19 A. No. MCI is not asking for BellSouth to provide CSRs for prospect marketing.
20 MCI is requesting that when it is in the process of making a sale, and has
21 obtained customer authorization, that it have the ability to access customer
22 information. MCI is ready and willing to provide to BellSouth a blanket letter
23 of authorization which will state that MCI will only request CSRs after
24 obtaining customer approval.

1 Q. MS. CALHOUN AT PAGE 6 OF HER SEPTEMBER 9, 1996 TESTIMONY
2 ASSERTS THAT MCI DOES NOT NEED ACCESS TO CURRENT CSRs
3 TO COMPETE EFFECTIVELY FOR EXISTING BELLSOUTH
4 CUSTOMERS. WHY IS IT IMPORTANT FOR MCI TO HAVE ACCESS
5 TO CSRs IN THE SALES PROCESS?

6 A. Residential and small business customers are often not aware of all the services
7 to which they subscribe. These customers cannot easily look at a bill to
8 determine their services. Florida Rule 25-4.110(1) requires itemized services
9 to be listed only in the initial bill and then at least once in each succeeding
10 twelve months. Given the many changes that customers, especially business
11 customers, make to their telephone service, a snapshot once a year has only a
12 very limited period of accuracy and cannot be relied upon year-round as a true
13 picture of the customer's services.

14
15 It is important for MCI to be able to know customer service information
16 during sales calls so that it can make "apples to apples" price quotations. In
17 addition, if a customer has called to add or delete services and BellSouth has
18 failed to complete the transaction, when MCI installs service MCI will be
19 viewed as having failed to establish the service the customer desired. Without
20 CSRs at the time of sale MCI cannot insure that the customer is receiving the
21 services desired.

22
23 Moreover, if MCI quotes a price based on the recollection of the customer as
24 to its existing services, and after the sale MCI discovers the customer has

1 different services than discussed, MCI will be in the very awkward position of
2 having to go back to the customer with new pricing or absorbing any pricing
3 differences. In addition, for the small business customer, an error in
4 establishing service could cost the business its livelihood.

5

6 For medium and large business customers there are even more issues. With
7 more services and locations, combined with changing personnel, business
8 customers are not going to want to spend time providing new entrants details
9 about their services for new entrants to make price quotes. Time is money to
10 these business customers. Unless new entrants can offer proposals without
11 requiring work effort on the part of the business customers, competition will
12 be stifled.

13

14 In the case of business customers with complex services, the likelihood of
15 orders being rejected will be substantially increased if MCI does not have
16 complete and fully updated customer service information at the time of
17 ordering. With more services it is likely that the customer will not get it all
18 right and not having it right means a reject, delayed service installation and
19 customer dissatisfaction for a new MCI customer.

20

21 Q. PLEASE PROVIDE SOME EXAMPLES OF HOW THESE CONCERNS
22 HAVE BEEN VALIDATED IN THE MARKETPLACE.

23 A. BellSouth cries foul at AT&T at page 17 of Ms. Calhoun's August 12, 1996
24 testimony when AT&T suggests that it could possibly experience the same

1 problems with BellSouth as it did with Rochester's service installation relative
2 to failure to have customer information. This is, unfortunately, a most valid
3 concern.

4
5 Problems such as these are not limited to former Bell system companies.
6 Southern New England Telephone ("SNET") recently rejected an MCI order to
7 convert service of a business customer. The customer advised MCI that six
8 lines were to be converted, so this is what MCI requested on the order. SNET
9 records reflected the customer had seven lines, so it rejected the order, as well
10 as for the additional reason that SNET questioned the hunting sequence.

11
12 Unless MCI has CSRs, we are not in a position to insure when orders are
13 submitted that they will be processed timely without rejects. In the case of the
14 SNET example, MCI contacted the customer who stated that they had
15 contacted SNET to have the seventh line removed two to three months prior, a
16 pitfall described above.

17
18 Q. THROUGHOUT HER AUGUST 12, 1996 TESTIMONY, MS. CALHOUN
19 PROUDLY CLAIMS THAT BELLSOUTH IS PREPARED TO PROVIDE
20 ELECTRONIC INTERFACES/LINKS TO SUPPORT ALEC ENTRY.
21 WHAT IS THE CURRENT STATUS OF ELECTRONIC INTERFACES
22 FROM YOUR PERSPECTIVE?

23 A. First, BellSouth is wrong in stating that it is prepared to provide electronic
24 interfaces to support alternative local exchange company ("ALEC") entry.

1 The current status of electronic interfaces is that they provide an interim
2 solution only, until real-time, interactive interfaces can be developed consistent
3 with national standards.

4

5 Next, there are three key areas which Ms. Calhoun discusses: pre-ordering,
6 provisioning and maintenance/repair. I have attached as Exhibit 27 (RM-1) a
7 copy of a proposed MCImetro/ILEC Interconnection Agreement which has
8 recently been furnished to BellSouth. Attachment VIII of this exhibit sets
9 forth in detail MCI's requirements in these areas. Each of these three key
10 areas will also be addressed separately below.

11

12 **Q. WHAT HAS BEEN MCI'S RECENT EXPERIENCE WITH ELECTRONIC**
13 **INTERFACES FOR REPAIR?**

14 **A. MCI and BellSouth have been working for over two years to install a fully**
15 **electronic, real-time, trouble reporting interface for access services. The**
16 **interface is now finally installed after several false starts. These included a**
17 **total shut down which was necessary after what was to have been the final**
18 **resolution of all problems. Every other RBOC and GTE were transmitting**
19 **repair tickets for access services through this interface prior to the BellSouth**
20 **turn-up. The experience with this repair interface exemplifies the complexity**
21 **of turning up real-time and interactive electronic interfaces. Not only is there**
22 **significant time required in standards bodies to define specifications, but there**
23 **are also stops and starts in the development, testing and implementation**
24 **schedules of the individual ILECs.**

- 1 Q. HOW DOES THE ABSENCE OF ELECTRONIC REAL-TIME
2 INTERACTIVE INTERFACES ADVERSELY AFFECT THE TIMELINESS
3 OF REPAIRS?
4
- 5 A. To date there are no industry specifications available for trouble reporting for
6 non-access services, although BellSouth fails to address this in its testimony.
7 At this point in time, MCI will be faced with phone calls to BellSouth to relay
8 customer trouble. This ineffective means to process customer troubles will put
9 MCI at a significant competitive disadvantage. Ms. Calhoun states at page 50
10 of her August 12, 1996 testimony that "the real time and interactive interfaces
11 demanded by AT&T are not the requirements for successful market entry. An
12 exchange of information is required, but how that information is exchanged is
13 secondary and is likely to be of little concern to the end user."
14 This misses the point. MCI would agree that the customer does not need to
15 understand how a trouble report is transmitted. However customers will and
16 should care how long it takes for customer troubles to be resolved. The
17 availability of electronic real-time interactive interfaces is a key driver of the
18 timeliness of repair. The time to repair MCI long distance access service was
19 reduced dramatically when electronic bonding for repair was implemented.
20
- 21 Q. WHAT ARE THE PROBLEMS WITH THE EXISTING AND PLANNED
22 PRE-ORDERING INTERFACES?
- 23 A. First, since BellSouth has refused to concede the need for MCI to have CSRs
24 prior to order placement, no interface for MCI to gain access to this critical

1 information is now available. Based on our experience with electronic bonding
2 for repair, MCI is not hopeful that these interfaces could be made available
3 any time soon. Ms Calhoun talks about electronic data interchange ("EDI") for
4 pre-ordering and many of the other interfaces required to support local service.
5 Ms. Calhoun makes it sound as though EDI is the ultimate solution. This is far
6 from the case. MCI has agreed to EDI, which is not now real time or
7 interactive, at forums such as OBF only as an interim solution.

8
9 Beyond this, MCI has experience with an existing preordering interface which
10 BellSouth demonstrated as a possible means to enable MCI to validate
11 customer names and addresses to improve the quality of access orders
12 submitted by MCI. The interface worked fine for residential plain old
13 telephone service. When a business telephone number was input, however, the
14 best the system could do was to refer to a range of address numbers such as
15 100 to 2000. Because the interface failed to produce the specific address for
16 business customers, it was therefore valueless as a validation tool for
17 pre-ordering. BellSouth stated specifically that this interface was designed to
18 support ALEC activities. Thus even when a real-time interface is developed,
19 unless it meets the specifications of the new entrant, it is of no use.

20

21 Q. HOW DOES THE LACK OF ON-LINE, REAL-TIME ACCESS TO CSRs
22 ADVERSELY AFFECT THE ABILITY OF NEW ENTRANTS TO
23 PROVIDE COMPETITIVE SERVICE TO THEIR CUSTOMERS?

24 A. BellSouth suggests that pre-ordering interfaces and CSRs are not required for

1 most orders, in particular, "as is" orders. But without real-time access to the
2 CSR, MCI has no timely way to obtain accurate information such as address,
3 service, feature, and inter/intraLATA PIC availability, which is critical to
4 verify an order and to avoid other rejections by the incumbent LEC. Further,
5 without CSR access, MCI has been unable to use "as is" migrations as an
6 effective ordering method for small business and residential customers.

7

8 Lack of access to CSRs in an online, real-time manner severely constrains
9 MCI's ability to accurately process residential and small business sales orders.
10 As the residential and small business sales process requires all sales order and
11 pre-ordering activities to take place on a single sales call (mostly over the
12 telephone), and very quickly I might add, on-line, real-time access is the only
13 viable method of obtaining CSRs.

14

15 Without on-line, real-time access to CSRs, MCI finds itself in the unacceptable
16 situation of not really knowing for sure what a customer has prior to a
17 migration. This jeopardizes the customer's quality of service by increasing the
18 likelihood of loss of feature functionality upon migration. This in turn reflects
19 poorly upon MCI's local service, and is detrimental to MCI's ability to
20 compete on an even playing field.

21

22 Q. PLEASE EXPLAIN WHAT HAS OCCURRED AS A PRACTICAL
23 MATTER WITH LECs WHO DO NOT PROVIDE REAL-TIME, ONLINE
24 ACCESS TO CSRs.

1 A. An example is what has occurred with PacBell, which does not provide real-
2 time, online access to CSRs: MCI is forced to submit all orders as "migration
3 with changes" orders. This means that the order is placed with PacBell, which
4 then turns around and gives MCI the customer's records for review in order to
5 ensure that we send accurate orders to the incumbent LEC for migration and
6 that we are providing the customer with the correct services.

7

8 Q. WHAT IS THE INDUSTRY CURRENTLY DOING ON THE ISSUE OF
9 ORDERING AND PROVISIONING FOR LOCAL SERVICE?

10 A. This issue is now before the OBF. That group has published the initial draft
11 of the Local Service Ordering Guideline (LSOG) and the Local Service
12 Request (LSR)/Industry Support Interface (ISI) for ordering all unbundled and
13 resold local services. However, over 40 additional ALEC order/order
14 processing issues for mechanized interfaces still remain to be worked. It is
15 clear from this that non-interactive, non-real-time interfaces will thus be in
16 place for an interim period of time. Even in the access arena, electronic
17 bonding for processing of access service requests is not anticipated to be
18 operational until sometime within the first half of 1997, and IXC PIC
19 processing, which has gone through many years of development, is only now
20 getting close to real-time interactive order processing.

21

22 Q. WITHOUT ELECTRONIC INTERFACES FOR PRE-ORDERING,
23 PROVISIONING AND MAINTENANCE/REPAIR, CAN COMPETITION IN
24 THE LOCAL MARKET DEVELOP?

1 A. No. BellSouth may claim that ALECs can enter the local market without these
2 electronic interfaces. The reality, however, is that for robust competition to
3 develop, these interfaces must be available.
4

5 With regard to actual implementation of these electronic interfaces, BellSouth
6 appears to have good intentions, but performance is reality. To date BellSouth
7 does not have a good track record of performance. Combine this with the
8 iterative process of interface development at forums such as OBF and TCIF,
9 and it is not likely that fully functional truly interactive, real time interfaces
10 will be available for some time to come. While new entrants in the local
11 market will be operating under these less than optimal conditions BellSouth
12 will certainly be clamoring for long distance entry.
13

14 There is a terrible inequity here. If allowed into long distance, BellSouth will
15 have the benefit of total real-time interactive operational interfaces while the
16 new entrants to the local market will be hamstrung with interim solutions. As a
17 result, until these systems which support local service are fully operational,
18 any request by BellSouth to get into long distance is premature.
19

20 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

21 A. Yes.
22
23
24

1 BY MS. McMILLIN (Continuing):

2 Q Please summarize both your direct and rebuttal
3 testimony.

4 A Good afternoon. The purpose of my testimony is to
5 describe MCI's requirements for operations support systems as a
6 new entrant in the local telecommunications marketplace. My
7 testimony covers five key areas of operations support --
8 pre-ordering, ordering, provisioning, repair and maintenance,
9 and billing -- all of which are critical to MCI being able to
10 compete as a local service provider.

11 The ability to efficiently and effectively order,
12 provision, install, maintain and bill services is a critical
13 success factor. MCI cannot hope to gain and, more importantly,
14 retain customers if it cannot do so at least on parity with the
15 incumbent.

16 I outline in my testimony the need for MCI to have
17 electronic real-time interfaces and how without such interfaces
18 MCI will not be at parity with an incumbent in offering
19 services to customers. I also describe the need for MCI to
20 receive bills in an industry standard format and have access to
21 customer information that will enable MCI to submit error-free
22 orders and institute correct customer billing. Examples of
23 problems with BellSouth's suggested approaches as well as
24 timing are set forth.

25 MCI understands that the electronic real-time

1 interactive interfaces it requests may not be available today.
2 What MCI is seeking is a plan to move forward with interim
3 steps as needed leading to the implementation of such
4 interfaces at date certain.

5 The first area I would like to discuss in billings,
6 standardized billing is a minimum requirement of new entrants.
7 As the ordering and billing forum, the industry has reached
8 agreement on a standard format for billing unbundled elements
9 and resold services. MCI is seeking to have BellSouth produce
10 bills in this format which will enable MCI to bill the single
11 auditing and disbursement system capable of addressing the
12 outputs of diverse and propriety ILEC billing systems. As
13 such, it is the format of the bill and not the billing system,
14 that is important to new entrants such as MCI. As a point,
15 NYNEX and Pacific Bell are already moving to implement billing
16 in this standard format.

17 MCI does need the OBF agreed to CABS billing data
18 format and BellSouth has provided no plausible reason for not
19 providing this to MCI. What it does assert is that it uses a
20 different system for its own purposes and, therefore, this
21 should be sufficient for MCI. BellSouth fails all together to
22 recognize the complexities the new entrant faces interfacing
23 with numerous ILEC proprietary billing systems and formats.

24 Let me use as an example the billing for the Florida
25 Relay Center. As the Commission may recall, MCI was ordered to

1 provide local companies the data necessary to bill customers
2 for TRS service. MCI stepped up to the task of reformatting
3 billing data captured in our proprietary billing system into a
4 standard EMR format that is being used to this day by the local
5 service providers to bill for these services.

6 Next I would like to address the maintenance and
7 repair systems that BellSouth appears to be promising for
8 CLECs. This system deploys the recently established American
9 National Standards Institute electronic bonding interface.
10 This is the same system we feel is referenced in the FCC Order
11 for trouble administration and defined as interactive
12 electronic information exchange involving application-to-
13 application communications between telecommunications
14 jurisdictions.

15 The interface is presently in use between the RBOCs
16 and IXCs for trouble administration and preliminary indications
17 from another RBOC indicates that 20 minutes to over an hour are
18 saved over traditional methods. However, the industry
19 committee, the Electronic Communications Implementation
20 Committee, has only recently agreed to examine EBI with respect
21 to local operation systems. And while EBI is MCI's interface
22 of choice for all operation systems, it is not clear that it is
23 realistic near-term solution.

24 In addition, MCI experienced numerous delays as
25 BellSouth implemented EBI for access. MCI thus believes that

1 the interim processes will be needed for repair handling and
2 maintenance, and as well be evident from my testimony, such
3 interim solutions fail to create parity to BellSouth.

4 This brings us to ordering. BellSouth professes to be
5 adopting an electronic data interface, a batch process designed
6 for the banking and insurance industries. However, on
7 examining the pictorial representations of BellSouth's proposed
8 local service order/order process, it becomes apparent that
9 BellSouth intends to use EDI simply as a glorified faxing
10 mechanism. In the proposed interfaces, while the LSR would be
11 sent via EDI, a BellSouth technician would be required to input
12 the order into their service order process. Manual
13 intervention is, thus, still a critical component of the
14 proffered process. In fact, all proposed processes with the
15 exception of maintenance, which we have great doubts can be
16 available 1/1/97, are manual paper processes. To this dilemma,
17 I quote from the FCC Order: "Obviously, an incumbent that
18 provisions network resources electronically does not discharge
19 its obligation under Section 251(c)(3) by offering competitive
20 providers access that involves human intervention such as
21 facsimile based ordering."

22 Last, let me focus on customer data. BellSouth's
23 refusal to address the customer record information system
24 database requirements while professing to employ change as is
25 policies and procedures is both puzzling and disturbing. It is

1 impossible for a CLEC to complete the necessary customer
2 records which would insure proper installation and billing
3 without having the means to verify what services, features and
4 function the customer is presently using.

5 MCI also runs the risk of delay in service
6 installation due to order rejects. In addition, without access
7 to account data, MCI cannot make meaningful price quotes as MCI
8 will not be able to verify the customer account information.
9 Therefore, change as is is not really a viable option to
10 replace access to customer data for new entrants. To the
11 contrary, MCI would be required to quote conditional rates and
12 order service as change with modifications. Once the records
13 were received, the pricing could be firmed with the customer
14 and final MCI customer records established, clearly not the
15 process that is used by BellSouth or one that will enable a new
16 entrant to effectively compete.

17 In conclusion, MCI is requesting that the Commission
18 require that BellSouth implement operations support systems,
19 access to data and billing formats needed by MCI to effectively
20 compete. To the extent that any of the desired outcomes are
21 not currently available, MCI is requesting that the Commission
22 establish the best possible interim measures for these vital
23 functions and that the Commission also establish a schedule for
24 implementation of their real-time electronic interfaces MCI so
25 desires.

1 Thank you.

2 MS. McMILLIN: Chairman Clark, Mr. Martinez' exhibit,
3 RM-1 was identified. Could that be identified as Exhibit 27?

4 CHAIRMAN CLARK: It will be identified as Exhibit 27.

5 MS. McMILLIN: Thank you.

6 (Exhibit No. 27 marked for identification.)

7 MS. McMILLIN: Mr. Martinez is available for cross.

8 CHAIRMAN CLARK: Mr. Hatch.

9 MR. HATCH: I'm sorry. No questions.

10 CHAIRMAN CLARK: Mr. Horton.

11 MR. HORTON: No questions.

12 CHAIRMAN CLARK: Ms. White.

13 MS. WHITE: Yes, thank you.

14 CROSS EXAMINATION

15 BY MS WHITE:

16 Q Good afternoon, Mr. Martinez.

17 A Good afternoon.

18 Q And congratulations on your first grandchild.

19 A I'm glad to have read into the Florida record that I
20 do have --

21 Q I thought you might be. Now, Mr. Martinez, did you
22 personally participate in the negotiations between BellSouth
23 and MCI?

24 A No, I did not.

25 Q Okay. Are you aware of the electronic interfaces that

1 have been ordered by the Georgia Public Service Commission with
2 regard to resale?

3 A I am aware that an order exists and I have it in my
4 brief case. And when I'm scheduled to get to Georgia, I will
5 have the time to read it. I have to go back to my day job
6 after I do this.

7 So, I am aware there is an order. I have a copy of
8 it, but I have not read it.

9 Q Are you aware of whether MCI or -- Excuse me. Let me
10 put it this way: Are you aware of whether what the Georgia
11 Commission has done in that regard is acceptable to MCI?

12 A Again, I have not reviewed the Georgia proceedings and
13 won't do so until about to testify.

14 Q Let's talk about billing. Now I understand that MCI
15 wants BellSouth to use the carrier access billing format for
16 MCI; is that correct?

17 A That is correct.

18 Q And MCI doesn't really care whether BellSouth uses the
19 customer record information system in which to render that bill
20 as long as it has the CABS format?

21 A That is correct.

22 Q Okay. With regard to your Rebuttal Testimony, on page
23 6 of your Rebuttal Testimony, you state that "Customers" --
24 this is on lines 7 and 8 of page 6 of your Rebuttal
25 Testimony -- you state that "Customers" -- and there you're

1 talking about residential and small business customers --
2 "cannot easily look at a bill to determine their services." Do
3 you see that?

4 A That is correct.

5 Q Okay. Now are you aware that in Florida BellSouth
6 provides billing detail of a customer's services in the
7 customer bill every month?

8 A Yes, I am aware that there are definitions of some
9 services on the bill.

10 Q So were you speaking specifically of BellSouth in
11 Florida in that sentence, with regard to that sentence?

12 A I was speaking in terms of not only BellSouth in
13 Florida but BellSouth in general.

14 Q Are you a BellSouth customer, Mr. Martinez?

15 A Yes, I am.

16 Q In your bill, does it say what kind of vertical
17 features that you've ordered from BellSouth?

18 A The bills are all paid by my wife, but I did ask her
19 the question and she was confused as to whether she understood
20 exactly what the services were. And, in fact, we had a
21 conversation about a service I thought we still had on the bill
22 and I'm the owner of that bill. It's in my name. My wife
23 decided some time ago that we didn't need call forwarding and
24 touch tone. I thought we still had it on the bill.

25 COMMISSIONER GARCIA: You should call your local

1 public service commission.

2 WITNESS MARTINEZ: And complain about my wife, sir.

3 BY MS. WHITE (Continuing):

4 Q Now with regard to repair and maintenance, that's one
5 of the functions that MCI desires an electronic interface for;
6 is that correct?

7 A Yes.

8 Q BellSouth has repair centers today for residential and
9 business customers; is that correct?

10 A That is correct.

11 Q And is that where BellSouth proposes that MCI take its
12 repair problems via electronic interface?

13 A It is not clear exactly where from the pictorial
14 representations those systems reside, whether the technician is
15 physically located in the repair center. In fact, it's
16 supposedly in representation an application application; so
17 it's actually resident in their mainframe, which to my mind is
18 not feasible by 1/1/97.

19 So, I'm not clear exactly what BellSouth is proposing
20 from a maintenance and repair functionality.

21 Q So may I take from that if you're not clear what
22 BellSouth is proposing, you're not clear as to whether it's
23 acceptable to MCI?

24 A Yes, with the caveat that should they find the ways by
25 which we can use the electronic bonding interface, then it

1 would in fact make MCI quite ecstatic.

2 Q With regard to pre-ordering, the pre-ordering
3 function, is that, the kind of information you get in the
4 pre-ordering function, is that where you would find out when
5 you could have the service done, a due date and installation
6 intervals, that type of information?

7 A Yes, those are parts and parcels of pre-ordering.

8 Q Okay. Are you aware that BellSouth's proposed
9 pre-ordering electronic interface would allow MCI to go into
10 BellSouth's system and obtain that kind of information?

11 A Yes, with another caveat. Again, from the pictorial
12 representations, what we see is a gateway. We have no
13 information at all as to the reliability or the structure of
14 the database we'd be going into, nor do we have any reliable
15 source that tells us what the gateway is, whether it's a
16 proprietary gateway, state specific gateway, region specific;
17 there are really no clear clues in the testimony.

18 Q Well, let me ask this: There are still ongoing
19 negotiations between BellSouth and MCI; is that correct?

20 A That is correct.

21 Q And may I assume that in those negotiations, MCI has
22 employees that are familiar with these items and they are
23 asking questions of these items through MCI to BellSouth?

24 A Yes, and to date those discussions have been vague, as
25 best as could be represented by our negotiating team, as to

1 what exactly they were putting forth on the table.

2 Q Okay. Now on page 15 to 16 of your Direct Testimony,
3 you have a list of various databases to which MCI desires
4 access. Do you see that?

5 MS. McMILLIN: What page was that, Ms. White?

6 MS. WHITE: Fifteen and sixteen of his Direct
7 Testimony.

8 WITNESS MARTINEZ: Yes, I do.

9 BY MS. WHITE (Continuing):

10 Q One of those databases is the operator reference
11 information database?

12 A That is correct.

13 Q And you state that that contains general information
14 regarding valid area codes, exchanges and dialing instructions.
15 Do you know if BellSouth has such a database?

16 A I have learned from testimony in North Carolina that
17 you have not, apparently not computerized this and that you are
18 probably still operating off what I used to refer to as the
19 daily -- it was a book on the operator's desk -- that had the
20 pertinent information. That in itself is a database and it is
21 important for our operators to have similar information.

22 Q Okay. So, what you'd be asking for there is not
23 electronic interface, since the database doesn't exist, but
24 what you would want is a copy of the book; is that fair?

25 A Real-time, which means that if there are changes to

1 the document, those changes should be given in the same time
2 frame that they are given to your operators. So if that is all
3 that exists is a book, that is the database, and that is what
4 we would be looking for. We're only looking for parity in the
5 sense that whatever you have to provide, you provide it to us.
6 We're not asking you to develop anything.

7 Q So, BellSouth would give the book -- What you're
8 seeking is BellSouth would give copies of the book to MCI and
9 if there were changes to the pages in the book, you want
10 BellSouth to get you those changes as soon as possible or the
11 minute they come out?

12 A Yes.

13 Q Okay. Now what about the switch network
14 identification database, does that exist in BellSouth today?

15 A Which --

16 Q The switch identification database. I believe it's on
17 page 16 of your Direct.

18 A Line 6?

19 Q Yes. Line 6.

20 A Could you now repeat the question, please?

21 Q Yes. Does that particular database exist at BellSouth
22 today?

23 A Yes, we believe it does exist and it may exist exactly
24 in the same format that we just referred to in the operator
25 services. It may be a book or a series of data.

1 Q Okay. So it's -- I guess when I think of database, I
2 think of a computerized type thing, but in this case it may not
3 be a computerized stack of information; it may be a book like
4 the operator reference information?

5 A Yes. And, again, real-time access would mean changes
6 that as they occur, when we went to the book, we would have
7 those changes in a timely fashion before that happens.

8 Q Now, does BellSouth currently have an electronic
9 billing interface that will provide MCI with daily customer
10 billing usage information for toll and DO?

11 A Yes, they do.

12 Q And has BellSouth offered access to that database for
13 MCI?

14 A During the negotiations, I do not believe that that is
15 resolved, although in the contract it's quite clear as to how
16 those records would be passed and the frequency.

17 Q So you believe that's an issue that's still open?

18 A Yes, I do.

19 Q Okay. Well, let's talk about customer service
20 records. MCI wants access to customer service records; is that
21 correct?

22 A That is correct.

23 Q Now, tell me what a customer service record is.

24 A A customer service record is in essence a confidential
25 or proprietary piece of information that details the customer's

1 features, functions, services that will be billed through the
2 platform, which would be the billing platform that they're on.
3 It may contain other information as well.

4 Q What other information may it contain?

5 A Well, it may contain credit reference information as
6 well. We're not quite sure exactly what is in there, but the
7 records that we're after really are the feature
8 functionalities, the services and functions that the customer
9 has at the time that they may wish to switch.

10 Q Okay. Now, MCI wants to access the customer service
11 record while the customer is still BellSouth's customer; is
12 that correct?

13 A Yes, but MCI would do so with the customer's
14 permission.

15 Q Okay. Now are you going provide the customer's
16 permission to BellSouth prior to accessing the customer service
17 record?

18 A Yes, where practical. And let me go on to explain:
19 That in a sales market arena, mass sales or residential sales
20 or small businesses are done in a fairly quick fashion. So the
21 turnaround on sale cycle, whether exception or rejection, does
22 not allow oneself the luxury to get off the phone, have a fax,
23 send it back to somebody else or send a physical piece of
24 paper. On the contrary, if we were dealing with a large
25 complex order, the time it takes to research and price out the

1 various elements would afford you the time to have the customer
2 properly submit some form of written document that clearly
3 shows that.

4 I'll go back to the mass market. It would be MCI's
5 intention to meet whatever requirements the Commission might
6 have to insure that we did have the customer's permission at
7 the time that we asked for that record. That may include the
8 Social Security No.. And if we did have a real-time interface,
9 interactive interface, once I established a record with the
10 pertinent data, the Bell system could in fact verify at that
11 time real-time that in fact I had the information and therefore
12 release that to me and populate my screen.

13 In the systems that we're talking about here because
14 they're foreign to our systems, we will be forced to use either
15 in a windows mode or multiple terminals going in and obtaining
16 the information and then going back and populating the
17 information in the customer record that we're trying to build,
18 which ultimately would establish the order that would go to
19 BellSouth to establish that circuit.

20 Q And would you agree that probably the most important
21 issue surrounding the release of customer service records is
22 the privacy issue?

23 A Yes. And that is why MCI has in the contract a
24 specific section that deals with CPNI information.

25 Q Okay. And so you would recognize that it would be

1 important that if MCI is calling and saying, tells BellSouth,
2 "I have the customer's permission," that BellSouth be able to
3 verify that in some manner?

4 A I'm going to say no with a qualification. I'm not
5 aware that BellSouth would be a policeman. I think it would be
6 up to the Commission to establish the rules under which we
7 would operate and we would live under those rules, whatever
8 they are.

9 Q Well, I understand that.

10 A And we would be subject to the Commission with respect
11 to whether we violated those rules or we didn't violate. They
12 may at some time certain find that we weren't and remove, or,
13 to the contrary, that we were in fact living up to everything
14 we said we would live up to.

15 Q Well, I understand that, Mr. Martinez. I guess my
16 question is would you agree that BellSouth has a responsibility
17 to protect customer confidential information?

18 A Yes, and I believe MCI has that same responsibility.

19 Q Okay.

20 A Equally.

21 Q And in dealing with customer confidential information
22 between our two companies, I'm not saying that BellSouth should
23 institute or should decide what protections are out there, but
24 protections are needed, isn't that correct, to guard the
25 privacy of customers?

1 A Yes, it is MCI's belief that customer proprietary
2 network information should be safe guarded.

3 Q Now, if MCI is given access to the customer service
4 record database, would MCI have the ability to look at all
5 records in that database?

6 A It is our belief that you should be able to populate
7 only those sections of the record that we actually need to
8 complete an accurate bill and make an accurate price quote to
9 that customer.

10 Q Okay. Well, say you have electronic access to the
11 customer service record database and Mr. Carver is the one
12 living dangerously this time and has decided that, is talking
13 to MCI about switching from BellSouth to MCI for local service.
14 So, you want to look at Mr. Carver's customer service record?

15 A That would be correct.

16 Q Would MCI have the ability, when they go in to look at
17 Mr. Carver's customer service record, they would have the
18 ability to look at any other record in that database that they
19 wanted to?

20 A Those safeguards can be installed on the application-
21 to-application layers of that protocol. I would imagine that
22 under the gateway security system that EBI endorses, that
23 multiple applications is not permitted. So, in essence roaming
24 I think is the question. MCI has no intention of roaming
25 through databases that have proprietary information in them.

1 Q And so you would agree that protections need to be put
2 in place to guard against that roaming activity or kind of
3 roaming activity that could occur?

4 A Yes. And, again with real-time interactive
5 interfaces, that can be populated on our screen and immediately
6 transferred and populated on in the application-to-application
7 layer as a security check. If that information doesn't match,
8 it would be a reject and would not get any further into that.

9 Q Are you familiar with the term "slamming"?

10 A I am familiar with unauthorized PIC, if that is
11 synonymous in your mind.

12 Q And what is an unauthorized PIC?

13 A An unauthorized PIC is one where a customer perhaps
14 did not ask that the carrier who asked for that PIC to be
15 changed.

16 Q And are there today guidelines in place to protect
17 against unauthorized PIC changes?

18 A Yes, there are, and that's why I feel that it's
19 reasonable to expect that there could be guidelines established
20 for the access to the CRIS database.

21 Q Okay. I'm sorry. At the last were you saying that
22 such guidelines or there should be developed guidelines to
23 protect against that in the local market as well?

24 A I'm sorry. Is that the same question?

25 Q I'm not sure. Let me start over again. Would you

1 agree that guidelines might need to be developed to prevent
2 unauthorized changes of local service?

3 A Yes, I believe that would be an active role that the
4 Commission would play, a very active role.

5 MS. WHITE: Thank you. I have nothing further.

6 CHAIRMAN CLARK: Staff.

7 CROSS EXAMINATION

8 BY MR. PELLEGRINI:

9 Q Good afternoon, Mr. Martinez.

10 A Good afternoon.

11 Q I'm Charlie Pellegrini, representing the Staff. In
12 response to one of Ms. White's questions concerning the privacy
13 of CSRs, you indicated that it probably would fall to the
14 Commission to devise the rules that would control access to
15 those records. Did you mean to imply -- Is that not true?

16 A Yes.

17 Q Did you mean to imply by that statement that in your
18 view at least the parties are unable to devise those rules of
19 access themselves?

20 A No, I believe that the parties are within the bounds
21 to set guidelines. However, I would believe that the
22 Commission would want to play a role in whether those were in
23 their mind sufficient guidelines.

24 Q Let me ask you a few questions with reference to Issue
25 13, to begin with, operational interfaces. Is it not true that

1 MCI has failed to reach agreement with BellSouth on any of the
2 processes for real-time and interactive electronic interfaces?

3 A I think you said is it not true. Yes, it is not true
4 we haven't -- No. It is true we have not reached agreement on
5 any interfaces. I'm sorry.

6 Q Right. Have you made progress at all towards reaching
7 agreement?

8 A The only progress that we have made to date in the
9 contractual negotiations really have been in agreements to the
10 listings of standards, other than with the exception of two
11 international standards that we felt were appropriate, and
12 some, 911, there was a partial there. It's really superficial.
13 To date those discussions have been very vague in the sense of
14 what they are really trying to put forward.

15 Q In your view then are these negotiations at an
16 impasse?

17 A No, I can't say that they're at an impasse because
18 only the last negotiation process realized a tremendous leap
19 forward from where we were. So, it is my fervent hope that
20 when they meet again, and I believe it's next week or there's
21 papers being passed as we speak today to finalize where we
22 think we are, and that perhaps we will leap forward again and
23 really get into talking in terms of what we are talking about,
24 the interfaces.

25 Q Does MCI request anything different of BellSouth than

1 AT&T requests?

2 A I'm not sure that I know what AT&T. I believe that we
3 are all in agreement as far as AT&T and ourselves are concerned
4 from an industry standpoint. From a standards perspective, I
5 know of no disagreements that we have with AT&T as to interim
6 processes and ultimate processes that we would be looking for.

7 Q You're saying then that you're not aware of any
8 significant differences in the positions of AT&T and MCI on
9 this issue?

10 A That is correct.

11 Q Is that correct?

12 A That is correct.

13 Q Is it MCI's position that each party should bear its
14 own costs of implementing the necessary interfaces?

15 A While I'm not a cost person, I do understand that that
16 is MCI's position, that we have a tremendous cost to bear with
17 respect to putting those systems in place, interim systems as
18 well as the ultimate systems, and likewise on the other side.

19 Q Do you understand MCI's position to be in complete
20 opposition to BellSouth's position on this point?

21 A That I am not aware. I don't think they have
22 discussed costing or price issues in the negotiation sense.

23 Q Are you aware that BellSouth's position is that
24 BellSouth should recover the costs of these interfaces?

25 A If that is their position, then I would believe that

1 we would be in direct opposition to that position.

2 Q Suppose that -- Suppose that BellSouth's costs were
3 implementing interactive electronic interfaces, suppose
4 BellSouth's costs were quite high, very high, and, conversely,
5 the ALECs costs were very low, would you still agree with MCI's
6 current position that each party bear its own costs?

7 A I first would like to temper this by saying there are
8 cost people, but I believe that our position would be that, no,
9 we would feel that we would be obligated to pay some of that
10 cost.

11 Q Next let me ask a couple of questions with respect to
12 Issue 15 concerning billing format.

13 A Yes.

14 Q It's MCI's position that BellSouth should provide CABS
15 formatted billing for resold services in accordance with the
16 specifications adopted by the OBF in August of this year; is
17 that correct?

18 A That is correct.

19 Q And does BellSouth agree to provide CABS formatted
20 billing for resold services?

21 A That is perhaps one of the most disturbing messages
22 that I bring, even though that the standards bodies, and
23 they're not really standards bodies. The industry consensus is
24 that this is the way the billing should be rendered. They
25 apparently have not moved at all on that issue and are not

1 willing to endorse that or adopt that.

2 Q Is it your understanding, however, from BellSouth's
3 testimony that they wish to follow the industry standard for
4 billing format?

5 A Yes, that is the puzzling part of the dilemma. In the
6 one hand they talk about adopting that which is the industry
7 consensus. On the other hand, this should have been resolved
8 day one when we first talked about what the name of the
9 document was because this is one that's been adopted.

10 Q Yes, you so state on page 2 of your Rebuttal Testimony
11 that in August of this year, the OBF forum at final closure was
12 at final closure on the specification for CABS formatted
13 billing for resold services; correct?

14 A That is correct.

15 Q And were the negotiations with BellSouth subsequent to
16 that conducted with that in mind?

17 A Yes.

18 Q And what was BellSouth's response or position?

19 A Their position still is -- and I believe the specific
20 function is a subset of CRIS billing, CLUB billing, which is a
21 truly, truly proprietary billing system, one by the way which
22 BellSouth tried to introduce into the OBF and obviously was
23 rejected because it was a proprietary/proprietary system.

24 Q What billing format does MCI request for the ordering
25 of unbundled elements?

1 A Are we talking in terms now of the interconnect
2 services or are we still talking in terms of the resale/resold
3 services?

4 Q Interconnection.

5 A Interconnection should be handled via the ASR process,
6 which is -- I'm going to back up -- which should be in place.
7 However, all will depend on whether -- and I'll use a term
8 NC/NCI codes. These are the codes that basically dictate on an
9 order what specific type of trunk or facility I'm ordering.
10 Given that those NC/NCI codes do not change, then it is
11 feasible to use the existing ASR process, which, by the way,
12 will next year be converted to the EBI or electronic bonding
13 platform.

14 Q Mr. Martinez, do you have at hand Exhibit RM-2, your
15 deposition transcript, September 11, 1996?

16 A Yes, I do.

17 Q Have you had an opportunity to review it for
18 corrections or omissions?

19 A Yes, I have.

20 Q And are there same?

21 A Yes, there are two: On page 13, line 13, it reads
22 "operator" and should read "operations."

23 On page 18, line 9, it reads "pooled" and should have
24 read "pulled," as in "pull."

25 Q And these are set forth in an errata sheet dated

1 September 23, 1996; is that correct?

2 A Yes, they are.

3 Q With those corrections, is this document a true and
4 correct reflection of your testimony?

5 A Yes, it is.

6 MR. PELLEGRINI: Chairman Clark, Staff would have RM-2
7 identified.

8 CHAIRMAN CLARK: As Exhibit 28?

9 MR. PELLEGRINI: As Exhibit 28.

10 (Exhibit No. 28 marked for identification.)

11 CHAIRMAN CLARK: Mr. Martinez, would you please tell
12 me again on page 18, line 9, what is the word?

13 WITNESS MARTINEZ: The word is "pooled," p-o-o-l-e-d,
14 and it should be "pulled," p-u-l-l-e-d.

15 CHAIRMAN CLARK: Oh, okay. Thank you.

16 BY MR. PELLEGRINI (Continuing):

17 Q And, further, Mr. Martinez are you aware of your
18 Late-Filed Deposition Exhibit No. 1, which has not been
19 supplied because of its volume?

20 A Yes.

21 Q Identified as RM-3?

22 A Yes.

23 MR. PELLEGRINI: Staff would have Exhibit RM-3 marked
24 for -- as Exhibit 29.

25 CHAIRMAN CLARK: And you will get the Clerk a copy of

1 that and everybody has a copy of it?

2 MR. PELLEGRINI: Yes.

3 CHAIRMAN CLARK: Except the Commissioners. Okay.

4 (Exhibit No. 29 marked for identification.)

5 MR. PELLEGRINI: With that, Staff has no further
6 questions.

7 CHAIRMAN CLARK: Commissioners?

8 Redirect.

9 MS. McMILLIN: No redirect.

10 CHAIRMAN CLARK: Thank you. Exhibits.

11 MS. McMILLIN: And we would move admission into
12 evidence of Exhibit No. 27.

13 MR. PELLEGRINI: Staff would move Exhibits 28 and 29.

14 CHAIRMAN CLARK: Those exhibits, 27, 28, and 29, are
15 entered in the record without objection.

16 (Exhibit Nos. 27, 28 and 29 received in evidence.)

17 CHAIRMAN CLARK: Thank you, Mr. Martinez.

18 MS. McMILLIN: May he be excused?

19 CHAIRMAN CLARK: He may be.

20 MS. McMILLIN: Thank you.

21 MR. MELSON: MCI calls Don Wood.

22 Commissioner Clark, the witness hasn't been sworn. He
23 got ahead of us.

24 CHAIRMAN CLARK: Are there any other witnesses in the
25 room who have not been sworn in? If you would please stand,

1 raise your right hand and be sworn in at this time.

2 (Witnesses collectively sworn.)

3 CHAIRMAN CLARK: You may be seated.

4 THEREUPON,

5 DON J. WOOD

6 having been duly sworn, testified as follows:

7 DIRECT EXAMINATION

8 BY MR. MELSON:

9 Q Would you please state your name and business address.

10 A Yes. My name is Don J. Wood. My business address is
11 914 Stream, S-t-r-e-a-m, Valley Trail, Alpharetta,
12 A-l-p-h-a-r-e-t-t-a, Georgia.

13 Q And what is your occupation or profession, Mr. Wood?

14 A I am a regulatory consultant.

15 Q And have you prefiled Direct Testimony in this docket
16 dated August 21st, 1996, and consisting of 25 pages?

17 A Yes, I have.

18 Q And on September 12th, did you cause to be filed
19 substitutes for pages 24 and 25, which contain some revised
20 information?

21 A Yes, I did.

22 Q And have you also prefiled Rebuttal Testimony in this
23 docket dated September 16th and consisting of ten pages?

24 A Yes.

25 Q Do you have any changes or corrections to either the

1 Direct or the Rebuttal?

2 A No, with the substitution of the two pages of the
3 Direct, there are no further changes.

4 Q And with those two substituted pages, if I were to ask
5 you the same questions today, would your answers be the same?

6 A Yes, they would.

7 MR. MELSON: Madam Chairman, I would ask that
8 Mr. Wood's Direct and Rebuttal Testimony be inserted into the
9 record as though read.

10 CHAIRMAN CLARK: The Direct and Rebuttal Testimony of
11 Mr. Wood will be inserted in the record as though read.

12 BY MR. MELSON (Continuing):

13 Q And, Mr. Wood, were there three exhibits attached to
14 your Direct Testimony identified as DJW-1 through DJW-3?

15 A Yes, sir; there were.

16 Q And on September 12th, did you cause to be filed a
17 substitute for DJW-3, which contains updated information that
18 basically supports the revisions to your testimony?

19 A Yes, that's correct. There's a three-page update of
20 DJW-3 and the information from that exhibit is then carried
21 forth into the testimony, which is the purpose of substituting
22 those two pages.

23 MR. MELSON: Commissioner Clark, we'd ask that
24 Exhibits DJW-1, DJW-2 and the revised version of DJW-3 be
25 identified as Composite 30.

1 CHAIRMAN CLARK: It will be identified as Composite
2 Exhibit 30.

3 (Composite Exhibit 30 marked for identification.)

4 BY MR. MELSON (Continuing):

5 Q And was there one exhibit attached to your Rebuttal
6 Testimony identified as DJW-4?

7 A Yes, I believe there was; yes, sir.

8 Q And do you have any changes or corrections to that
9 exhibit?

10 A No, I do not.

11 MR. MELSON: We would ask that DJW-4 be identified as
12 Exhibit 31.

13 CHAIRMAN CLARK: It will be identified as Exhibit 31.

14 (Exhibit No. 31 marked for identification.)
15
16
17
18
19
20
21
22
23
24
25

1 DIRECT TESTIMONY OF DON J. WOOD

2 ON BEHALF OF MCI

3 DOCKET NO. 960846-TP

4 AUGUST 21, 1996

5

6 Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

7 A. My name is Don J. Wood, and my business address is 914 Stream Valley
8 Trail, Alpharetta, Georgia 30202. I provide consulting services to the
9 ratepayers and regulators of telecommunications utilities.

10

11 Q. PLEASE DESCRIBE YOUR BACKGROUND AND EXPERIENCE.

12 A. I received a BBA in Finance with distinction from Emory University and an
13 MBA with concentrations in Finance and Microeconomics from the College of
14 William and Mary. My telecommunications experience includes employment
15 at both a Regional Bell Operating Company ("RBOC") and an Interexchange
16 Carrier ("IXC").

17 I was employed in the local exchange industry by BellSouth Services,
18 Inc. in its Pricing and Economics, Service Cost Division. My responsibilities
19 included performing cost analyses of new and existing services, preparing
20 documentation for filings with state regulatory commissions and the Federal
21 Communications Commission ("FCC"), developing methodology and computer
22 models for use by other analysts, and performing special assembly cost
23 studies. I was employed in the interexchange industry by MCI
24 Telecommunications Corporation, as Manager of Regulatory Analysis for the
25 Southern Division. In this capacity I was responsible for the development and
26 implementation of regulatory policy for operations in the southern U. S. I

1 then served as a Manager in the Economic Analysis and Regulatory Affairs
2 Organization, where I participated in the development of regulatory policy for
3 national issues.

4
5 **Q. HAVE YOU PREVIOUSLY PRESENTED TESTIMONY BEFORE STATE**
6 **REGULATORY COMMISSIONS?**

7 **A. Yes. I have testified on telecommunications issues before the regulatory**
8 **commissions of twenty-three states, the District of Columbia, state courts, and**
9 **have presented comments to the FCC. A listing of my previous testimony is**
10 **attached as Exhibit 30 (DJW-1).**

11

12 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

13 **A. I have been asked by MCI Telecommunications Corporation ("MCI") to**
14 **describe the methodology that MCI believes should be used for accurately**
15 **determining the relevant costs of unbundled network elements to be provided**
16 **by BellSouth Telecommunications, Inc. ("BST") pursuant to the Federal**
17 **Telecommunications Act of 1996. I will also describe the results of applying**
18 **this methodology in the state of Florida, and provide an overview of the model**
19 **used to develop these costs.**

20 My testimony is divided into three sections: Section I introduces the
21 basis for the costs developed by MCI for the unbundled network elements and
22 describes how those costs -- and the underlying methodology used to develop
23 them -- are consistent with sound economic costing principles generally and
24 with the FCC's August 8, 1996 First Report and Order in CC Docket 96-98

1 specifically. Section II describes how the model used to develop these costs
2 operates, and Section III identifies the inputs used and reports the results of
3 this analysis. I will refer to the methodology used as the Hatfield Model
4 ("HM"), and will discuss the results obtained using Version 2.2, Release 2, of
5 that model.

6

7 Q. PLEASE DESCRIBE YOUR EXPERIENCE REVIEWING COST MODELS
8 AND METHODOLOGIES.

9 A. While employed in the BellSouth Service Cost organization, I had the
10 opportunity to work with a number of cost models and to analyze and review
11 the manner in which these models were used in the cost development process.
12 Since that time, I have reviewed incremental cost studies performed by each of
13 the seven regional Bell Operating Companies ("RBOCs") and a number of Tier
14 1 Local Exchange Companies ("LECs"), including BST. My review has
15 included an evaluation of the methodologies, computer models and
16 spreadsheets, and inputs/assumptions used. I have also been asked by
17 regulators to develop detailed rules to be used by the LECs when performing
18 TSLRIC studies.

19 Two constant sources of frustration have been present throughout this
20 process: 1) The lack of publicly available information related to the LEC
21 studies, and 2) the lack of independent and objective cost data to be used as a
22 benchmark for the evaluation of the LEC-provided data.

23

1 **Section I: Description of the Cost Principles Implemented by the Hatfield Model**

2

3 **Q. PLEASE DESCRIBE THE ORIGIN AND PURPOSES OF THE HATFIELD**
4 **MODEL.**

5 **A. The Hatfield Model was developed by Hatfield Associates, Inc. of Boulder,**
6 **Colorado at the request of AT&T and MCI. Its purposes are to 1) estimate**
7 **the costs of the unbundled network elements described in § 252 (d) (1)(A) and**
8 **(B) of the Telecommunications Act of 1996, and 2) to develop an estimate of**
9 **the cost of basic exchange telephone service that is the subject of universal**
10 **service funding mechanisms. Complete documentation describing the**
11 **operation of the model in detail is being developed and can be made available**
12 **upon request.**

13 The HM derives some of its inputs and methods from version 1 of the
14 **BCM Plus model, a successor to the Benchmark Cost Model ("BCM"), which**
15 **was originally developed by US WEST, NYNEX, MCI, and the local services**
16 **operation of Sprint (on July 3, 1996, US West and Sprint Corporation**
17 **presented version 2 of the BCM to the FCC. NYNEX and MCI are not**
18 **sponsors of BCM2. A careful review indicates that the purported**
19 **enhancements in BCM2 are already present in the Hatfield Model).**

20

21 **Q. HAS THE HATFIELD MODEL EVOLVED OVER TIME?**

22 **A. Yes. Originally, the Model was used to produce estimates of the TSLRIC of**
23 **basic local exchange service as part of an examination of the cost of universal**
24 **service. A second version, referred to as the Hatfield Model V.2.2, Release 1**

1 was then developed to estimate costs for unbundled network elements only.
2 Version 2.2, Release 2, used to produce the results in this testimony, considers
3 both unbundled elements and basic local exchange service. It also incorporates
4 a number of enhancements over earlier versions, the ultimate effect of which is
5 to increase the degree of certainty associated with the results it calculates.

6

7 Q. WHAT ARE THE KEY PRINCIPLES AND ATTRIBUTES OF THE
8 HATFIELD MODEL?

9 A. The model uses sound economic costing principles to estimate the relevant
10 costs. Its operations can be readily scrutinized, and a large number of its
11 inputs can be set, by users. It includes all network elements and associated
12 costs that are necessary to provide the unbundled elements and local exchange
13 service considered by the model.

14

15 Q. PLEASE DESCRIBE THE PUBLIC NATURE OF THE MODEL.

16 A. Version 2.2, Release 1 of the model has been available through the
17 International Transcription Service of Washington, DC, for some time.
18 Release 2 of the model will shortly be available from the same source, and
19 will be made available in this proceeding. The new release will be
20 accompanied by complete documentation that describes the operation of the
21 model. In addition, a considerable effort has been expended to facilitate the
22 setting of many inputs by the user of the model through a graphical interface,
23 and it is anticipated that this interface will be available when the model is
24 released, or shortly thereafter.

1 The inputs to the model, both those adjustable by the user and those
2 incorporated into the model itself, are readily visible to the user. The model
3 runs as a set of Excel spreadsheets, and those spreadsheets can be examined by
4 the user.

5
6 Q. WHY IS IT IMPORTANT THAT COST MODELS CAN BE PUBLICLY
7 REVIEWED IN THIS FASHION?

8 A. Previously lacking such open cost models, regulators and intervenors have
9 been forced to rely on cost studies produced by the incumbent Local Exchange
10 Carriers (ILECs) as the only available source of cost data. Attempts to
11 review, analyze, and verify the cost data produced by such models have met
12 with, at best, only limited success.

13 As described above, two constant sources of frustration have been
14 present throughout the process of reviewing such models. First, the lack of
15 publicly available information related to the ILEC studies has often made a
16 meaningful review difficult or impossible. The inputs and assumptions used
17 by the respective ILECs, when made available, have often been subject to
18 proprietary protection. Similarly, the mechanized cost models have often
19 remained "black boxes" because of the inability of intervenors (and often
20 regulators) to test either the accuracy of the algorithms or the sensitivity of the
21 model to inputs and assumptions. The second source of frustration has been
22 the lack of independent and objective cost data to be used as a benchmark for
23 the evaluation of the LEC-provided data. Without such an objective data
24 source, it has been impossible for either regulators or intervenors to ascertain

1 the reasonableness of ILEC cost estimates.

2 In contrast to the difficulty often experienced when attempting to
3 evaluate ILEC cost studies and the underlying models, a review of the Hatfield
4 Model can be direct and straight-forward. Complete and detailed
5 documentation of the model is available, including descriptions of both the
6 model algorithms and the inputs and assumptions used. Because the model is
7 publicly available and its inputs can be varied by the user, it possible to
8 directly evaluate the model for accuracy and to ascertain the sensitivity of the
9 model to changes in various inputs. Because this level of review is possible, it
10 is possible for the reviewer to conclude that the model produces both
11 reasonable and verifiable cost data.

12 In summary, a fundamental issue with any cost study is the integrity of
13 the assumptions, calculations and input values used to develop the ultimate
14 outputs. The only method to test the reliability of the final product is to make
15 all of the data as well as the methodology accessible for independent scrutiny
16 and evaluation. The Hatfield Model uses clearly documented and visible
17 methodologies which are verifiable, and non-proprietary data obtained from
18 publicly-available sources. Both the inputs and outputs to the Hatfield Model
19 are open for inspection and analysis. Inputs can be varied as appropriate, and
20 sensitivity testing can be conducted by varying these inputs. The results are
21 all subject to challenge and verification.

22

23 Q. YOU STATED THAT THE HATFIELD MODEL CALCULATES COSTS
24 USING A METHODOLOGY THAT IS CONSISTENT WITH THE

1 "FORWARD LOOKING ECONOMIC COST"-BASED STANDARD
2 ADOPTED BY THE FCC. PLEASE DESCRIBE THE STATED BASIS FOR
3 THE FCC'S METHODOLOGY.

4 A. In its August 8, 1996 First Report and Order in CC Docket 96-98 ("Order"),
5 the FCC concluded that because "the prices of interconnection and unbundled
6 elements...are critical terms and conditions of any interconnection agreement,"
7 it was necessary to "set forth the methodological principles" to be used when
8 determining relevant costs and rates (para. 618). The FCC outlines in some
9 detail a "cost based pricing methodology based on forward looking economic
10 costs" which it concludes is the approach for setting prices that best furthers
11 the goals of the 1996 Act" (para. 620), and that will "give appropriate signals
12 to producers and consumers and ensure efficient entry and utilization of the
13 telecommunications infrastructure" (para. 630). This methodology is to be
14 used to determine costs and rates for unbundled network elements,
15 interconnection, and collocation (paras. 628, 629).

16 In order to develop a national standard for the calculation of forward
17 looking economic costs, the FCC identified the following criteria to be used:

18 Use of a long run assumption. The term long run, in the FCC's
19 methodology, "refers to a period long enough so that all of a firm's costs
20 become variable or avoidable" (para. 677). The HM uses this assumption
21 when identifying relevant investments and expenses.

22 Definition of increment to be studied total demand. The FCC states
23 that "the increment that forms the basis for a TELRIC study shall be the entire
24 quantity of the network element provided, and that "all costs associated with

1 providing the element shall be included in the incremental cost" (para. 690).
2 The HM studies an increment equal to the entire quantity of the network
3 element, both as the incumbent uses the network element to provide its own
4 retail services and as it provides that network element to other carriers on an
5 unbundled basis. All costs that an efficient incumbent LEC would incur to
6 provide the network element are included.

7 Use of a forward-looking methodology. The FCC concluded that the
8 relevant costs should be the costs that "a carrier would incur in the future"
9 (para. 683), and that a "forward-looking economic cost methodology based on
10 the most efficient technology deployed in the incumbent LEC's current wire
11 center locations" (para. 685). The HM utilizes existing wire center locations,
12 and develops investments using the most efficient, currently available
13 technologies for the provision of loop facilities, switching, interoffice
14 transport, and signalling.

15 The inclusion of a "reasonable profit." The FCC concludes that "the
16 concept of normal profit is embodied in forward looking costs because the
17 forward looking cost of capital...is one of the forward-looking costs of
18 providing the network elements," (para. 700), and that because a normal profit
19 is represented by the LEC's forward looking cost of capital, "no additional
20 profit is justified under the statutory language" (para. 699). The HM includes
21 a forward looking cost of capital in the costs that it calculates, and does not
22 provide an additional "markup" over this level.

23 Embedded costs should not be included. The FCC concluded that a
24 cost methodology based on embedded costs, or a "markup" to reflect the

1 difference between forward-looking and embedded costs, "would be pro-
2 competitor -- in this case the incumbent LEC -- rather than pro-competition,"
3 and went on to state that "we reiterate that the prices for interconnection and
4 network elements critical to the development of a competitive local exchange
5 should be based on the pro-competition, forward looking, economic costs of
6 those elements, which may be higher or lower than historical embedded costs.
7 Such pricing policies will best ensure the efficient investment decisions and
8 competitive entry contemplated by the 1996 Act" (para. 705). The HM is
9 based on forward looking economic costs, and embedded investments are not
10 used.

11 Universal Service Subsidies should not be included. The FCC
12 concluded that "funding for any universal service mechanisms adopted in the
13 universal service proceeding may not be included in the rates for
14 interconnection, network elements, and access to network elements" (para.
15 712). The HM does not include these costs in its calculations.

16 Access to Cost Data/Burden of Proof. The FCC notes that "the
17 incumbent LECs have greater access to the cost information necessary to
18 calculate the incremental cost of the unbundled elements of the network.
19 Given this asymmetric access to cost data, we find that incumbent LECs must
20 prove to the state commission the nature and magnitude of any forward
21 looking cost that it seeks to recover" (para.680, 696). The HM calculates
22 costs using the best publicly available data that has been identified. The
23 model is designed to permit calculations of cost based on LEC-provided data if
24 the LEC has met the burden of proof that these data will accurately identify

1 forward looking costs.

2 Use of generic forward looking cost models. While the FCC stated
3 that it had not had ample time to review the Hatfield Model specifically, it
4 stated that the HM and similar generic models "appear best to comport with
5 the preferred economic cost approach discussed previously" in the Order (para.
6 834), and that the HM and similar models "appear to offer a method of
7 estimating the cost of network elements on a forward looking basis that is
8 practical to implement and that allows state commissions the ability to examine
9 the assumptions and parameters that go into the cost estimates" (para. 835).
10 Of those models referred to by the FCC in this section, only the Hatfield
11 Model is based on publicly available data and permits scrutiny by both
12 commissions and interested parties.

13 Inclusion of specific types of cost and application of principle of cost
14 causation. The FCC states that unbundled network elements should be priced
15 at "the forward looking costs that can be attributed directly to the provision of
16 services using that element, plus a reasonable share of the forward looking
17 joint and common costs" (para. 673), and indicates that "costs must be
18 attributed on a cost-causative basis. Costs are causally related to the network
19 element being provided if the costs are incurred as a direct result of providing
20 the network elements, or can be avoided, in the long run, when the company
21 ceases to provide them" (para. 691). The FCC goes on in subsequent
22 paragraphs of the Order to define these terms and to give illustrative examples
23 (See paras. 678,679,682, 690, 691, 694, 698). The HM uses cost-causative
24 principles to identify forward-looking costs with specific network elements. It

1 includes in the cost of network elements all the costs that the FCC specifically
2 discussed in its order as being part of the direct cost of network elements.
3 Specifically, the HM includes all "investment costs and expenses related to
4 primary plant used to provide that element" (para. 682), and attributes
5 "incremental costs of shared facilities and operations...to specific elements to
6 the greatest extent possible" (para. 682). The HM specifically attributes "the
7 costs of conduits shared by both transport and local loops, and the costs of
8 central office facilities shared by both local switched and tandem switching...to
9 specific elements in reasonable proportions" (para. 682). For both dedicated
10 and shared investments, the HM includes "the forward-looking costs of capital
11 (debt and equity) needed to support investments required to produce a given
12 element" (para. 691).

13 The FCC's rules require that overhead costs be included to the extent
14 that they vary with the output of particular network elements (despite their
15 accounting classification), and thus are part of the TELRIC of those elements.
16 The FCC also requires, to the extent that there are any such overhead costs
17 that are common to several wholesale elements, or to wholesale and other
18 functions, that the prices of of network elements include "a reasonable share
19 of common costs." The procedure of estimating the overhead costs of a
20 wholesale-only carrier, which is what Hatfield does by adding the 10%
21 markup, satisfies the FCC requirements. While statistical evidence and a
22 growing literature on activity-based accounting systems suggest that many of
23 the costs that have traditionally been considered "overhead" costs should
24 actually be considered service-specific or element-specific costs, the Hatfield

1 Model method for treating overhead costs renders any precise distinction
2 between element-specific and "common" overhead costs unnecessary. Insofar
3 as the 10% markup captures all of the relevant overhead costs, it includes any
4 element-specific costs and a reasonable share of any "common" overhead
5 costs. This approach ensures that each network element recovers at least its
6 "reasonable" share of such common costs, to the extent that they exist.
7 Moreover, if regulators set prices for network elements equal to the costs that
8 the Hatfield Model reports for each element, these prices would allow a firm
9 that is engaged solely in providing network elements on a wholesale basis
10 (with no retail functions) to recover all of its economic costs of doing
11 business, including a reasonable profit, but no more. From this vantage point
12 also, the Hatfield approach lies well within the bounds of reasonableness.

13 In conclusion, the Hatfield Model complies with the detailed
14 explanation of the cost methodology adopted by the FCC and the results of the
15 Model should be used to establish rates for unbundled network elements in
16 Florida.

17

18 Q. HAVE REGULATORS AND ECONOMISTS ENDORSED THE HATFIELD
19 MODEL?

20 A. Yes. With reference to an earlier version of the model, which lacks a number
21 of the features and enhancements incorporated into Release 2, the Washington
22 Utilities and Transportation Commission concluded the following (See WUTC
23 Docket No. UT-950200, Fifteenth Supplemental Order, page 82):

24

The Commission rejects USWC's cost studies for local

1 service and the local loop. The most reasonable and
2 accurate measure of incremental cost for these services
3 on this record is provided by the Hatfield model ... We
4 are satisfied that it accurately reflects costs incurred by
5 USWC and that, if it errs, it likely errs on the high side.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

Nationally prominent economists have also endorsed the HM. In an affidavit submitted in response to the FCC's April 19, 1996, Notice of Proposed Rulemaking in CC Docket No. 96-98, Professors William J. Baumol, Janusz A. Ordover and Robert D. Willig state in paragraph 38 that:

We have reviewed the costing model constructed for AT&T and MCI by Hatfield Associates, Inc., a telecommunications consulting firm. The object of the current Hatfield model is to estimate the total costs of building and operating a network, using efficient, forward-looking technology, to supply all "basic" narrowband services (essentially all local and intraLATA toll service, including carrier access) currently supplied in the United States. We conclude that the Hatfield Model follows reasonably closely the TSLRIC principles discussed in Section II. Where limitations on the availability of data have forced the designers of the model to use approximations that deviate from the theoretical ideal, the shortcuts adopted tend to

1 overestimate, not underestimate, true TSLRIC. Further
2 the model is extremely flexible: whenever values are
3 available, they can readily be substituted for the values
4 used currently.

5

6

Section II: Constituents and Operation of the Hatfield Model

7

Q. PLEASE PROVIDE A SUMMARY DESCRIPTION OF THE HATFIELD
8 MODEL'S OPERATION.

8

9 A. The Hatfield Model employs a methodology based upon engineering standards
10 and methods applicable to the local exchange network in order to estimate the
11 costs that would be incurred by an efficient firm to provide the unbundled
12 network functions and basic exchange service that are considered by the
13 model. Specifically, these costs would be incurred by an efficient LEC to
14 provide the specified functions and services using a network designed to
15 provide narrowband, voice-grade telephone services. The Hatfield Model is a
16 table-driven system that is adaptable to any LEC or geographic area, provided
17 the appropriate state-specific and company-specific information is available and
18 input into the model.

19

20 Q. HOW DOES THE HATFIELD MODEL RELATE TO THE BCM?

21 A. A key constituent of the HM is BCM-PLUS, which was derived from the first
22 version of the BCM ("BCM1"). However, BCM-PLUS, and the remaining
23 modules of the HM, use BCM1 only as an initial step in the development of
24 the investment associated with the feeder and distribution components of the

1 local loop. The Hatfield Model adds network components not included in
2 BCM1. It also applies BCM1 output to its own switching investment module.
3 The switching module in the Hatfield Model contains separate, user-changeable
4 factors for switching investment, construction, installation, floor space and
5 frames. This disaggregation provides for a thorough determination of wire
6 center costs. The same module determines the investment in interoffice call
7 transport and signaling facilities.

8 BCM-PLUS, together with the Hatfield Model, improve on BCM1 in a
9 number of ways. First, the HM uses a 1995 estimate of households per
10 Census Block Group (CBG), whereas BCM1 used 1990 census data. Second,
11 the HM accounts for multi-line residences, and business, special access, and
12 payphone lines, which were excluded from the loop facilities calculation in the
13 BCM1. In doing so, it uses a database showing the number of employees per
14 CBG that was not identified at the time BCM1 or earlier versions of the HM
15 were written. Third, the HM estimates costs according to the line density --
16 that is, the number of *lines* served per square mile -- rather than the number of
17 *households* per square mile. Fourth, the HM increases the amount of
18 distribution cable in the two highest density ranges, and decreases it in lowest
19 density range, consistent with the amount of cable that would actually be
20 required for such a line density. Fifth, the HM estimates structure costs
21 independently of the cost of the cable itself, whereas the BCM1 estimated
22 structure costs as a multiplier of cable costs. In addition, the HM includes
23 cable installation (placement) costs, which tends to increase the per-foot cost of
24 the cable. Sixth, the Hatfield Model includes costs associated with network

1 elements that were not included in the BCM1, such as the drop wire, network
2 interface device, terminal, and serving area interface portions of the local
3 loop, and the facilities necessary to connect LEC end offices (interoffice
4 facilities). These are perhaps the most significant changes; there are a number
5 of additional minor changes.

6 As already noted, U S WEST and Sprint recently released a new
7 version of the Benchmark Cost Model ("BCM2"). BCM2 incorporates many,
8 but not all, of the modifications that the Hatfield Model made to BCM1.

9
10 Q. PLEASE DESCRIBE THE INPUT DATA USED BY THE HATFIELD
11 MODEL.

12 A. The Hatfield Model uses seven primary categories of input data: CBG data,
13 business employee data, cable and installation cost data, wire center data,
14 traffic data, expense data, and ARMIS-reported data on the number of
15 residence and business lines. The CBG data used by the Hatfield Model are:
16 1) number of households in each CBG; 2) CBG land area; 3) CBG position
17 relative to the nearest wire center; and 4) geological factors including rock
18 depth, rock hardness, water table depth, and surface texture. The business
19 line data provide the number of business employees by CBG; this information
20 is used to distribute the ARMIS-reported number of business, special access,
21 and payphone lines by CBG.

22 The wire center data provides the location of existing wire centers in
23 each LATA, as well as the location of existing tandem switches and signal
24 transfer points.

1 Network traffic is estimated using dial equipment minutes and call
2 attempt statistics. These inputs are used to appropriately size investment in
3 switching, signaling, and interoffice facilities, as well as to calculate usage-
4 sensitive costs for several of the unbundled network elements.

5 The information necessary to estimate future recurring expenses
6 associated with operating and maintaining the telephone network comes from
7 two sources. Forward-looking expense information is used if it exists in the
8 public domain. Where no such data is available, selected expense data
9 reported by the LECs in ARMIS is used because it is the best publicly
10 available data.

11

12 **Q. WHAT ARE THE FUNCTIONAL MODULES THAT COMPRISE THE**
13 **HATFIELD MODEL?**

14 **A. The Hatfield Model contains six functional modules. They are:**

- 15 • Line Multiplier Module;
- 16 • Data Module;
- 17 • Loop Module;
- 18 • Wire Center Investment Module;
- 19 • Convergence Module; and
- 20 • Expense Module.

21 An overview of each of the modules is provided below.

22

23 **Q. WHAT IS THE PURPOSE OF THE LINE MULTIPLIER MODULE?**

24 **A. In order to calculate costs on a per line basis, the HM uses estimates of the**

1 total number of lines (including residential, business, public telephone and
2 special access lines) within each CBG. CBG input data contains the number of
3 households, not number of lines, in each CBG. The line multiplier module
4 determines a ratio of total residential lines reported in ARMIS to total
5 households, and applies this ratio to the number of households in each CBG to
6 estimate the number of residential lines by CBG. It estimates the number of
7 business, special access, and payphone lines by distributing the corresponding
8 ARMIS numbers among CBGs proportionally to the number of employees in
9 each of the CBGs.

10 Because the network is sized to provide all loops, not just residential
11 loops, and because the total line density may be substantially different than the
12 residential line density, the model subsequently categorizes and reports costs
13 within CBGs according to total line density (i.e., total lines served per square
14 mile) rather than residential line density. Line density is broken into six
15 categories, or density ranges: 0-5, 5-200, 200-650, 650-850, 850-2,550 and
16 greater than 2,550 lines per square mile, respectively.

17

18 Q. WHAT FUNCTION IS PERFORMED IN THE DATA MODULE?

19 A. The Data Module uses CBG data and line totals to determine the quantity and
20 type of outside loop plant facilities required, based upon density and distance
21 of the CBG from the wire center. In doing so, it basically employs the same
22 methodology as does the BCM1, although there are a few exceptions, such as
23 1) as already discussed, the length of distribution cable is changed for the
24 highest and lowest line density zones; 2) the fiber-copper breakpoint -- that is,

1 the feeder length below which copper cable, and above which fiber cable, are
2 used -- becomes a user input; and 3) fiber cable is assumed to have a higher
3 equivalent line capacity than is assumed by BCM1. The HM also separately
4 considers the amounts and costs of underground and buried cable, whereas
5 they were combined in the BCM1. The Data Module also calculates outside
6 plant structure (poles, conduits) costs associated with placing and installing
7 cable under varying terrain and population density conditions.

8

9 **Q. WHAT FUNCTION IS PERFORMED BY THE LOOP MODULE?**

10 **A. The Loop Module, which is also part of BCM1, determines the size and type**
11 **of cable required to serve each CBG, given loop lengths, fill levels, and**
12 **population density. The Module then uses the distribution and feeder lengths**
13 **calculated in the Data Module as well as cable price information to determine**
14 **the total required loop investment for each CBG including supporting structure**
15 **investment.**

16

17 **Q. WHAT IS THE PURPOSE OF THE WIRE CENTER MODULE?**

18 **A. The Wire Center Module calculates wire center and interoffice facilities**
19 **investments. This module quantifies investments associated with end office**
20 **switches, wire centers, trunks, tandems (including operator tandems, and**
21 **operator positions), signaling links, signal transfer points (STPs), and service**
22 **control points (SCPs). Some of the elements it considers, such as the cost of**
23 **the SCPs and operator positions, are relevant only to unbundled network**
24 **elements; the remainder are germane to both unbundled elements and the cost**

1 of basic local service. The module uses the total number of access lines, the
2 location of wire centers, and network traffic data to determine required
3 switching, trunking, and signaling investments.

4 The module sizes network facilities sufficient to serve the total demand
5 created by all users and uses of the network. The Hatfield Model derives its
6 switch investment estimates by using both typical per line prices paid for by
7 Bell Operating Companies, GTE and other independents for end office
8 switches (according to a published source), and by using Table 2.10 of the
9 FCC's Statistics of Communications Common Carriers, which provides the
10 average number of access lines served by a LEC switch.

11

12 Q. WHAT IS THE PURPOSE OF THE CONVERGENCE MODULE?

13 A. The Convergence Module modifies the loop investment calculated in the Loop
14 Module to account for network elements omitted from BCM1. It combines the
15 modified loop investment with the wire center, interoffice, and signaling
16 investment calculated in the Wire Center Module. For each of the six density
17 ranges, the convergence module reports the number of lines by type, number
18 of households and investment in categories such as distribution, feeder, end
19 office switching, tandems, and trunks.

20

21 Q. PLEASE DESCRIBE THE EXPENSE MODULE.

22 A. The Expense Module uses the outputs from the Convergence Module to
23 determine annual capital carrying costs, operations and maintenance expenses,
24 and support expenses associated with the investments needed for a local

1 telecommunications network. This module uses the best publicly available
2 information to estimate future expenses and reports the annual cost for each
3 unbundled network element. The module requires as inputs appropriate
4 assumptions regarding the cost of capital (cost of debt, cost of equity, and
5 debt/equity ratio); the economic lives of various categories of network
6 equipment and facilities, and the relationship between investment and
7 expenses. It produces the appropriate unit cost of various unbundled network
8 elements and of basic exchange service. These units vary by type of element
9 and service: for instance, the cost of unbundled local switching is reported as
10 both cost per port and cost per minute of use; while the SCP cost unit is
11 messages. Basic local exchange service is reported as the cost per line per
12 month for the service, whose elements have been defined previously. The
13 results are reported by line density zone, using the ranges I have defined
14 previously.

15

16 Q. YOU PREVIOUSLY REFERRED TO HATFIELD MODEL VERSION 2.2,
17 RELEASE 1. PLEASE SUMMARIZE THE KEY DIFFERENCES
18 BETWEEN HATFIELD MODEL VERSION 2.2 RELEASE 1 AND
19 RELEASE 2.

20 A. The key differences may be summarized as follows. Compared to Release 1,
21 Release 2

- 22 - estimates the cost of basic local exchange service,
23 - tentatively provides a graphical user interface to facilitate the
24 setting of user inputs and running the model,

- 1 - provides an increased set of inputs that can be set by the user,
- 2 - uses a 1995 estimate of households by CBG, rather than 1990
- 3 census data,
- 4 - estimates the number of business, special access, and payphone
- 5 lines per CBG using a database containing employees per CBG,
- 6 - increases the length of distribution cable for the two highest-
- 7 density ranges, and decreases it for the least dense range,
- 8 - specifies cable costs on an as-installed basis, generally leading to
- 9 higher per-foot cable costs,
- 10 - separates structure costs from cable costs, rather than calculating
- 11 them as a multiplier of cable costs,
- 12 - places each serving area interface (the interface point between
- 13 feeder and distribution cable) inside the CBG it serves, rather
- 14 than at the edge of the CBG,
- 15 - refines the treatment of interoffice transport and signaling costs,
- 16 - provides a greater disaggregation of expense factors, for
- 17 instance, by considering underground and buried cable expenses
- 18 separately, and
- 19 - adds the estimated cost of local number portability.

20

21

Section III: Florida-Specific Model Results

22

Q. PLEASE SUMMARIZE THE MODEL INPUTS THAT HAVE BEEN USED TO DEVELOP COST ESTIMATES FOR FLORIDA.

23

24

A. The inputs used to perform the run of the model used to develop costs for use

1 in this proceeding are attached as Exhibit DJW-2. As with all data, MCI is
2 continuing to evaluate the accuracy and validity of these inputs in order to
3 ensure the reliability of the cost information produced by the model.

4

5 Q. WHAT ARE THE RESULTS OF THE MODEL?

6 A. In Exhibit DJW-3, I have included the results of running the Hatfield Model to
7 develop costs for use in this proceeding. In summary, the results of MCI's
8 analysis are as follows:

9

10 **Hatfield Model Unbundled Network Element Summary**

11	Element	Unit Definition	Unit Cost
12	1. Network Interface Device	per line-per month	\$ 0.56
13	2. Loop Distribution	per line-per month	\$ 6.43
14	3. Loop Concentrator	per line-per month	\$ 2.55
15	4. Loop Feeder	per line-per month	\$ 2.35
16	5. End Office Switching		
17	Port	per line-per month	\$ 1.02
18	Usage	per minute	\$ 0.0017
19	6. Signaling Links	per link-per month	\$ 18.41
20	7. Signal Transfer Point	per message	\$ 0.00005
21	8. Signal Control Point	per message	\$ 0.00079
22	9. Common Transport	per minute	\$ 0.00074
23	10. Dedicated Transport	per DSO - per month	\$ 4.24
24	11. Tandem Switching	per minute	\$ 0.0012

REBUTTAL TESTIMONY OF DON J. WOOD**ON BEHALF OF MCI****DOCKET NO. 960846-TP****September 16, 1996**

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

A. My name is Don J. Wood, and my business address is 914 Stream Valley Trail, Alpharetta, Georgia 30202. I provide consulting services to the ratepayers and regulators of telecommunications utilities.

Q. ARE YOU THE SAME DON J. WOOD WHO PRESENTED DIRECT TESTIMONY ON BEHALF OF MCI IN THIS PROCEEDING?

A. Yes.

Q. WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?

A. The purpose of my rebuttal testimony is to respond to the criticisms of the Hatfield Model included in the direct testimony of Alphonso J. Varner on behalf of BellSouth Telecommunications, Inc. ("BST"). I will also respond to statements made by BST witness D. Daonne Caldwell in her direct testimony.

Q. AT PAGES 18-19 OF HIS TESTIMONY, MR. VARNER STATES THAT THERE ARE A NUMBER OF "FUNDAMENTAL FLAWS INHERENT IN THE HATFIELD MODEL" WHICH MAKE IT AN "INAPPROPRIATE TOOL" FOR CALCULATING THE COSTS OF UNBUNDLED NETWORK ELEMENTS TO BE PROVIDED BY BST. ARE HIS CRITICISMS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

ACCURATE?

A. No; none of the criticisms levied by Mr. Varner have merit. Upon close examination, Mr. Varner's criticisms fall into two categories: 1) those in which the assertion is more or less factually correct, but, even if factually correct, in no way impugns the validity of the Hatfield Model as an accurate, objective and verifiable means of calculating forward-looking economic costs; and 2) those in which there is simply no factual basis for the assertion, and for which Mr. Varner offers no factual support in his testimony. Mr. Varner presents his criticisms as a presumably complete list of "the basic areas of the model to which BST objects." If BST has identified other "objections" to the Hatfield Model, it has not made them known to MCI.

Q. WHAT ARE BST'S SPECIFIC CRITICISMS OF THE HATFIELD MODEL?

A. Mr. Varner's stated criticisms are the following:

The Hatfield Model does not calculate the costs of unbundled network elements based on "the actual network used to provide service." More generally, Mr. Varner argues that the Hatfield Model should not be used because it does not produce results which are consistent with the "actual costs incurred by BST." In both regards, Mr. Varner is factually correct: the Hatfield Model does not calculate the costs associated with BST's embedded network, and it does not purport to calculate the level of BST's embedded costs. What Mr. Varner fails to recognize when making this argument is that no forward-looking cost study, assuming that it is correctly performed, is based on the network configuration and technologies correctly in use. As the

1 FCC clearly points out in its August 8, 1996 Order in CC Docket 96-98
2 ("FCC Order"), "forward-looking cost methodologies, like TELRIC, are
3 intended to consider the costs that a carrier would incur in the future" (para.
4 683). The approach advocated by Mr. Varner -- to base cost studies on BST's
5 "actual network" -- was specifically rejected: the FCC found that an approach
6 that calculated costs "based on existing network design and
7 technology...currently in operation" is "essentially an embedded cost
8 methodology," and that to establish rates on such a basis would permit the
9 incumbent LECs to recover costs "that reflect inefficient or obsolete network
10 design and technology" (para. 684). In contrast, the Hatfield Model calculates
11 forward-looking economic costs in the manner specifically adopted by the
12 FCC, based on "the most efficient technology deployed in the incumbent
13 LEC's current wire center locations" (para. 685). In summary, Mr. Varner
14 and BST would have this Commission reject the Hatfield Model because it
15 complies with the methodology specified by the FCC rather than with a
16 methodology that was specifically rejected.

17 The Hatfield Model has evolved over time. Again, my dispute is not
18 with Mr. Varner's facts, but with his conclusion. Apparently, Mr. Varner
19 believes that in order for a cost model to be an "appropriate tool" for use in
20 developing cost estimates, it must be developed in final form and thereafter
21 remain rigid and unchanged; no additional information should be utilized and
22 no new features should be added. Such an assertion is both absurd on its face
23 and wholly inconsistent with the history of the cost models currently in use by
24 BST. There is no dispute that the Hatfield Model has evolved over time in

1 order to incorporate new data (because it is based only on publicly available,
2 non-proprietary inputs, the developers of the model continue their efforts to
3 identify public sources of data) and to include additional features (the original
4 version of the model could only be used for universal service calculations, the
5 second version produced only costs for unbundled elements, and the current
6 version -- the "new version" as referred to by Mr. Varner -- can be used for
7 calculations of both universal service and unbundled element costs). Mr.
8 Varner offers no argument why such model evolution, and the additional
9 information that it makes available, is not desirable. In addition, Mr. Varner
10 is apparently not aware that each of the cost models in use by BST's own
11 costing organization has undergone similar changes over time and, if his
12 criticism is accepted by the Commission, must also be rejected.

13 The Hatfield Model uses data derived from the Benchmark Cost Model.
14 Here again, there is little dispute regarding the fact that elements of the
15 Benchmark Cost Model have been incorporated into the Hatfield Model.
16 Specifically, the Data Module and Loop Module of the Hatfield model contain
17 calculations of loop characteristics and investment that are adapted from the
18 Benchmark Cost Model developed by US West, Sprint (local operations),
19 NYNEX, and MCI. Mr. Varner offers no basis, however, for his somewhat
20 surprising assertion that the BCM is "fatally flawed." In this regard, Mr.
21 Varner and BST appear to be in the distinct minority, even among their LEC
22 counterparts. Specifically, US West and Sprint have developed a new version
23 of the Benchmark Cost Model, referred to as BCM2, that continues to use the
24 sets of calculations used by the Hatfield Model. It is noteworthy that similar

1 enhancements have been made independently to the original BCM by both the
2 developers of the Hatfield Model and BCM2. It is also my understanding that
3 PacTel is considering incorporating BCM2 -- including the sets of calculations
4 in question -- into its own modelling efforts. While Mr. Varner does not
5 describe the BCM's alleged "fatal flaws" in his testimony, it is clear that other
6 incumbent LECs do not share his views. Of course, if Mr. Varner is
7 contending that the BCM calculations are "fatally flawed" because they do not
8 calculate costs based on BST's embedded network, then his criticism is invalid
9 for the reasons described previously.

10 According to Mr. Varner, the Hatfield Model includes estimates of
11 joint and common costs which are "unusually low." Here, and in the
12 remainder of his criticisms, Mr. Varner appears to have erred in both his facts
13 and his conclusions. He provides no basis for his suggestion that the "joint
14 and common" costs (as these terms are used by the FCC) included in the
15 Hatfield Model are somehow inaccurate, nor does he state the benchmark to
16 which he has compared them. In other words, if the costs included in the
17 Hatfield Model are "unusual;" what is the source of Mr. Varner's conclusions
18 regarding the "usual" level of such costs? Consistent with the FCC Order, the
19 Hatfield Model includes all of those costs described by the FCC as "joint and
20 common" that an efficient carrier would incur on a forward-looking basis; it
21 does not, and should not, include BST's embedded level of common costs. It
22 is also noteworthy that the FCC stated that, in addition to its expectation that
23 forward-looking common costs will be lower than existing embedded levels, it
24 expected the level of "common" costs to be smaller in studies conducted based

1 on an increment of network elements rather than tariffed services. The FCC
2 also concluded that because of the "likely asymmetry of information regarding
3 network costs, incumbent LECs shall have the burden to prove the specific
4 nature and magnitude of these forward-looking costs" (para. 695). While the
5 costs in the Hatfield Model may be considered "unusual" by Mr. Varner when
6 compared to BST's embedded level of "joint and common" costs, such an
7 observation in no way indicates that the Hatfield Model results are not correct
8 and fully consistent with the FCC Order. To the extent that he believes that
9 these costs are not an accurate reflection of the costs to be incurred by an
10 efficient carrier on a forward-looking basis, Mr. Varner and BST bear the
11 burden of proving the existence of additional forward-looking efficient costs.

12 According to Mr. Varner, the Hatfield Model uses an "unrealistic cost
13 of money." Fortunately, the FCC Order provides some guidance regarding a
14 "realistic" assumption. Specifically, the FCC found that "based on the current
15 record, we conclude that the currently authorized rate of return at the federal
16 or state level is a reasonable starting point for TELRIC calculations" (para.
17 702). The Hatfield Model uses a weighted average cost of capital of 10.01%,
18 based on authorized rates of return adopted by the FCC over the 1990-1995
19 time period. *In doing so, it uses a cost of money assumption that is higher*
20 *than the last authorized weighted average cost of capital authorized for BST by*
21 *this Commission.* In addition, the FCC found that "incumbent LECs bear the
22 burden of demonstrating with specificity that the business risks that they face
23 in providing unbundled network elements and interconnection services would
24 justify a different risk-adjusted cost of capital or depreciation rate. These

1 elements generally are bottleneck monopoly services that do not now face
2 significant competition" (para. 702). In summary, the Hatfield Model as it has
3 been run for this proceeding uses a higher cost of capital than is required by
4 the FCC Order. If Mr. Varner intended to suggest that the model used a cost
5 of money that is unrealistically high, then he may be correct. If he intended to
6 suggest that the cost of money used is unrealistically low, then he and BST
7 bear the burden of demonstrating that the risks associated with providing
8 unbundled network elements warrant a change in the Commission's last
9 approved cost of money.

10 According to Mr. Varner, the Hatfield Model uses an "overly high
11 plant utilization factor." In reality, the Hatfield Model uses a number of
12 different utilization factors -- sometimes referred to as "fill factors" --
13 depending on the type of facility being used and the characteristics of the area
14 in which it is to be placed. The Hatfield Model uses conservative estimates of
15 so-called "engineering fill" or "administrative fill," that are in no way "overly
16 high" when used in a forward-looking cost study. Of course, the assumed
17 utilization factors are not intended to represent the levels of network "fill" in
18 BST's embedded network, which may be artificially low for a number of
19 reasons.

20 According to Mr. Varner, the Hatfield Model uses "overly long
21 depreciation lives." In reality, the Hatfield Model uses the last depreciation
22 lives authorized by the FCC. (Based on a request by the Commission staff
23 during my deposition last week, MCI is currently rerunning the model using
24 this Commission's most recently approved depreciation lives.) As with the

1 other variables, Mr. Varner and BST bear the burden of demonstrating that the
2 depreciation lives used in the model should be adjusted.

3 According to Mr. Varner, the Hatfield Model underestimates the cost
4 of service in urban areas. Mr. Varner provides no basis for this assertion, so
5 it is impossible to ascertain the validity of his criticism. The Hatfield Model
6 calculates costs for six density zones, so that the differences in the cost of
7 provisioning a network in urban and rural areas can be accurately captured.
8 The forward-looking economic costs of providing unbundled network elements
9 in both urban and rural areas have therefore been included.

10

11 Q. ARE THERE OTHER AREAS OF CONCERN THAT YOU WISH TO
12 ADDRESS AT THIS TIME?

13 A. Yes. While she does not describe in any detail the methodology that BST
14 intends to use in its "TELRIC" studies current being performed, BST witness
15 Caldwell makes two troubling statements. First, Ms. Caldwell states that
16 BST's existing "LRIC/TSLRIC studies do not include any shared or common
17 costs that would be considered directly attributable using the TELRIC
18 methodology specified in the FCC Order." This statement is simply false. To
19 be clear, I am not suggesting that Ms. Caldwell has intentionally chosen to
20 mislead this Commission; it is possible that she is simply unaware of the
21 details regarding how BST conducts its incremental cost studies.

22 For example, the FCC states that "directly attributable forward-looking
23 costs also include the incremental costs of shared facilities and operations,"
24 and described, as an illustrative example, "the costs of conduits shared by both

1 transport and local loops and the costs of central office facilities shared by
2 both local switching and tandem switching." BST's cost studies have
3 historically included a portion of such costs on a "directly attributable" basis
4 and, to the best of my knowledge, continue to do so. As a result, a statement
5 that BST's incremental cost studies do not currently include costs of shared
6 facilities and operations is simply not accurate, and any attempts by BST to
7 mark up for such costs in its upcoming "TELRIC" studies should be seen as
8 the double-counting of costs that it actually represents.

9 Ms. Caldwell and Mr. Varner also make the unsupported statement that
10 the results of cost studies performed pursuant to the FCC's TELRIC
11 methodology will "logically" be higher than the results of previous BST
12 studies (Caldwell at p. 4, Varner at p. 19). It is likely, however, that a study
13 based on a true forward-looking methodology as prescribed by the FCC -- a
14 methodology that explicitly does not include the embedded costs associated
15 with BST's existing network -- will yield lower costs. While the FCC
16 methodology includes what the FCC refers to as "forward-looking joint and
17 common costs," it is by no means certain that the inclusion of the proper
18 amount of these costs will outweigh the reduction created by studying a
19 forward-looking rather than embedded network, especially if a significant
20 portion of these costs are already included in BST's current cost studies (as
21 described above). In summary, it is by no means "logical" to assume that the
22 TELRIC methodology adopted by the FCC will produce results higher than the
23 results of BST's existing cost studies. To the contrary, it seems reasonable to
24 assume that the forward-looking costs of an efficient carrier will be lower than

1 the costs currently incurred by BST.

2

3 Q. IN YOUR DIRECT TESTIMONY YOU STATED THAT COMPLETE
4 DOCUMENTATION DESCRIBING THE OPERATION OF THE
5 HATFIELD MODEL IN DETAIL WAS STILL BEING DEVELOPED. HAS
6 THAT DOCUMENTATION BEEN COMPLETED?

7 A. Yes. I have attached a copy of that documentation to this testimony as Exhibit
8 31 (DJW-4).

9

10 Q. DOES THIS CONCLUDE YOUR REBUTTAL TESTIMONY?

11 A. Yes.

12

13

14

15

16

17

18

19

20

21

22

23

24

1 BY MR. MELSON (Continuing):

2 Q Mr. Wood, could you please summarize both your Direct
3 and Rebuttal Testimony?

4 A Yes, I can. Good afternoon. My purpose here today is
5 to present to you the results of the Hatfield Model. I believe
6 the results of this model represent both the most accurate and
7 ultimately the only verifiable forward-looking economic cost
8 information that you have before you on which you can base
9 prices for unbundled network elements.

10 I didn't reach that conclusion overnight. Since
11 working as a cost analyst for BellSouth, I've spent the last
12 several years both as a consultant to intervenors and as a
13 consultant to commissions and their staffs reviewing, or at
14 least attempting to review, cost studies performed by the
15 incumbent local exchange companies. In that context, I've
16 looked at studies performed by all seven of the Bell operating
17 companies, including BellSouth, and several of the other tier-1
18 local exchange companies.

19 Throughout that process two really constant sources of
20 frustration have come to bear. The first is that the cost
21 study itself and the documentation was proprietary to the
22 extent that the documentation was provided at all. It's been
23 very difficult to get complete explanations of how the study
24 was conducted, how the models were run, and it's been almost
25 impossible to get a list of input information.

1 The second source of frustration really has been that
2 the models themselves are the proverbial black box. You can't
3 get a copy of the software; you can't run it to determine the
4 validity or the sensitivity of the model to the outputs.

5 MCI and AT&T have both asked me in different contexts
6 to review the Hatfield Model. And I can only describe the
7 experience, the phrase that comes to mind is what a pleasant
8 and refreshing experience this has been. A very fundamental
9 underlying principle of the Hatfield Model in the process has
10 been that it's based on the best available public data. It's
11 an open model. The complete documentation has been presented
12 here, a complete list of inputs has been presented and a
13 functioning version of the model has been available to all
14 parties. That creates a situation here an ability to review
15 this model that's really unprecedented before you today.

16 Essentially what the Hatfield Model does is it uses
17 existing BellSouth network switching locations and then
18 constructs a forward-looking efficient network based on that
19 constraint. It uses available and well tested technologies
20 that will be deployed on a going forward basis. There is
21 nothing hypothetical here. It uses well established
22 engineering principles, both from Bellcore documentation and
23 from outside plant engineers, subject matter experts, if you
24 will, with over 20 years experience, 25 years experience, as a
25 matter of fact. And it uses actual census data recording

1 population density and geographical data regarding the
2 particulars of the area in which plant is being put in place,
3 soil types, depth in bedrock, water table depth, that sort of
4 information.

5 Through this process it creates forward-looking
6 economic costs that an efficient provider of wholesale
7 unbundled network functions would incur. And it includes all
8 the types of costs that the FCC described in its August 8th
9 Order.

10 Now, of course, also in compliance with that Order it
11 does not include retail costs and it doesn't include the costs
12 of BellSouth's embedded network or costs associated with
13 BellSouth's embedded operations.

14 Now, with openness comes the possibility and the
15 increasing possibility of criticism of the model. BellSouth
16 has certainly presented some. Again, I can't overemphasize how
17 important it is that we now have this open process. Mr. Lackey
18 and I can now discuss in detail the merits of this model on the
19 public record.

20 Criticism presented by BellSouth really indicates to
21 me, and I've looked at all of it very carefully, the difficulty
22 that the company is having and other companies are having in
23 finding problems with this model. And their criticisms
24 generally fall into two broad categories. The first category
25 is that this model does not represent the costs of BellSouth's

1 embedded network. There is no dispute there. This model is
2 not intended to cost BellSouth's embedded network.

3 There are also criticisms that this is not a top down
4 approach to modeling, what we used to call a fully distributed
5 cost approach. Again, there's certainly no dispute there.
6 This is an incremental cost model. Is it not intended to
7 reflect fully distributed costs.

8 The second area of criticism are a series of
9 criticisms of the first version of the benchmark cost model,
10 which is not being presented here to my knowledge by any party
11 and is not the foundation of the Hatfield Model. In other
12 words, these are criticisms regarding a model that is not being
13 presented here and they present a number of those.

14 And, finally, Dr. Emmerson on behalf of BellSouth
15 includes an example from California that he indicates
16 demonstrates that the Hatfield Model understates costs. When
17 you look at the details of the example, what you find is that
18 what the example really illustrates are the dangers of
19 accepting on their face the incumbent local exchange company
20 costs studies without looking at what's behind them. And, in
21 fact, what the California experience shows is that PacBell had
22 costed a full broad band network as part of its local loop cost
23 study.

24 So, ultimately I have found no valid criticisms
25 presented to this model and it continues to represent to you

1 the most accurate and the only verifiable source of cost data
2 and I urge you to price unbundled network elements at the level
3 of the results presented by this model.

4 Thank you.

5 MR. MELSON: Mr. Wood is tendered for cross.

6 CHAIRMAN CLARK: Mr. Hatch. Ms. Dunson.

7 MS. DUNSON: No questions.

8 CHAIRMAN CLARK: Mr. Horton.

9 MR. HORTON: No questions.

10 CHAIRMAN CLARK: Mr. Lackey.

11 MR. LACKEY: Thank you, Madam Chairman.

12 CROSS EXAMINATION

13 BY MR. LACKEY:

14 Q Mr. Wood, it is correct that you have not had
15 responsibility for developing the Hatfield Model; isn't it?

16 A That's correct; I'm not a developer of the model.

17 Q Now the Hatfield Model is a computer model; is that
18 correct?

19 A That's right.

20 Q And the way it works generically is that someone
21 enters input data into the computer, the computer processes the
22 data according to a set of instructions and then generates
23 output; correct?

24 A That's correct.

25 Q Now, just as an aside, in order to run this program,

1 if I understand correctly, you can do it at home if you've got
2 133 megahertz Pentium computer with 128Meg of RAM; is that
3 correct?

4 A That's my understanding of the requirements, yes, but
5 you can certainly run certain modules of the model with less
6 hardware requirements. In fact, that's what I do in my office.
7 But to run the full model, it requires 128Meg.

8 Q Well, and I don't understand what the relationship is
9 between AT&T and MCI here, but when you and I talked last week
10 I thought we concluded that the Deloitte-Touche consulting
11 group was actually the folks who were running the model. Did I
12 get that wrong?

13 A Well, only to the extent that we need to clarify what
14 running the model is. I certainly have the responsibility for
15 making sure that those folks don't change any data that they
16 shouldn't change, that the inputs are what they should be for
17 any run of the model and that they've gone through that process
18 correctly. They are, the Deloitte-Touche representatives are
19 certainly the folks who are actually sitting at the graphical
20 interface with the mouse and clicking on go in order to run the
21 model. So, with that clarification, they are the folks doing
22 that.

23 Q Okay. But nobody should think that you're sitting at
24 home or in your office with your computer running this thing;
25 should they?

1 A No. Again, I'm not the one with the responsibility to
2 actually click on go.

3 Q All right. And we agreed last week that you've not
4 reviewed and verified each of the thousands of equations that
5 are in the computer model; correct?

6 A Well, no, sir. I think what we agreed last week was
7 that while I had reviewed the model very carefully and the
8 processes, that I had not memorized the calculations in each
9 one of those five or six thousand cells. And my recollection
10 is that you gave me copies of formulas from two of those cells
11 and I couldn't tell you which cells they were and I still
12 couldn't do that today because I still have not memorized all
13 five or six thousand calculations.

14 Q You have received a copy of the North Carolina
15 transcript by now; haven't you?

16 A I have not reviewed it, no.

17 MR. LACKEY: I'm going to, if I may, Madam Chairman,
18 have Mr. Carver take my copy down and show it to counsel and --
19 Maybe counsel has got his own.

20 MR. MELSON: I don't know if I do or not. Give me a
21 page reference.

22 MR. LACKEY: Page 122, lines 2 through 5, is what I'm
23 referring you to.

24 BY MR. LACKEY (Continuing):

25 Q Mr. Wood, Mr. Carver is handing you my copy of the

1 transcript from North Carolina and it should be open to page
2 122. And what I'd like you to do is read the question that
3 begins on line 2 and I believe your answer concludes on line 5.
4 Would you read those out loud, please.

5 A Certainly. "Question: Okay. The answer to my
6 question as to whether you have reviewed and verified each of
7 the thousands of equations that are in the computer model is
8 no?"

9 "Answer: That's correct."

10 Q Thank you. Have you changed your answer or is it the
11 same answer as you gave to the question last week?

12 A Well, if we were going through the same question and
13 answer process, it would be the same. And my problem,
14 Mr. Lackey, and I want to be as cooperative with you as I can,
15 but if you were to ask me -- What we have here is one Q and A.
16 What we don't have are the several pages of this discussion
17 that you and I had previous to that.

18 If we wanted to stipulate to the entire North Carolina
19 record, I would be happy to stand by every word, but if we take
20 one question and answer out of context without the preceding
21 discussion, I think we would at best be misleading the
22 Commission; and if I were to agree with you, simply to that Q
23 and A, I would probably be violating the oath I took when I sat
24 down here. That's my problem.

25 Q Well, let me ask you the question one more time and

1 we'll see: And you have not reviewed and verified each of the
2 thousands of equations that are in the computer model; is that
3 correct?

4 A And the answer is as we discussed, there are
5 several --

6 Q Can I have a yes or no answer, please, first, before
7 you explain?

8 A I don't think I can say yes or no without misleading
9 this Commission because of the way you pose the question. And
10 I apologize, Mr. Lackey, but for the same reason we had --
11 Mr. Lackey and I had quite a discussion leading up to this
12 question and answer in which we discussed what we meant by
13 review and verify that I think is absolutely essential to
14 whether I can honestly give you that answer or not and give him
15 that answer or not. And I --

16 CHAIRMAN CLARK: Mr. Wood, you can say yes or no and
17 then provide all that information.

18 WITNESS WOOD: Okay. I can't remember whether you
19 posed it in the positive or the negative, Mr. Lackey, but the
20 answer is that I disagree with your question.

21 BY MR. LACKEY (Continuing):

22 Q Well, let me pose it again so you'll understand which
23 way I posed it and if I could have a yes or no answer, then you
24 can explain it. The question is: And you have not reviewed
25 and verified each of the thousands of equations that are in the

1 computer model; is that correct?

2 A No, sir; that's not correct because it is incomplete.
3 I have certainly not memorized the calculations. I have
4 reviewed the process that the model uses and each of these
5 calculations to which you refer are part of that larger
6 process.

7 Q Let me ask you the question then this way. I take it
8 then you have reviewed and verified each of the thousands of
9 equations that are in the computer model; is that correct?

10 A No, sir; that's not correct. I have reviewed that
11 process.

12 MR. LACKEY: All right. Madam Chairman, I'm trying to
13 move through it instead of going through all that --

14 CHAIRMAN CLARK: Mr. Wood, as I understand, your
15 answer is that, no, you haven't reviewed and verified all of
16 them, but you have looked at the overall process and you feel
17 confident that it is an appropriate model for developing the
18 costing?

19 WITNESS WOOD: That is a fair statement.

20 CHAIRMAN CLARK: Is that okay, Mr. Lackey?

21 MR. LACKEY: That's a perfectly acceptable answer,
22 Madam Chairman.

23 CHAIRMAN CLARK: Thank you.

24 MR. LACKEY: I wish he'd given it instead of you. Can
25 I have my transcript.

1 BY MR. LACKEY (Continuing):

2 Q Now let's talk about what the model does. The
3 Hatfield Model employs a methodology that would estimate the
4 cost that would be incurred by an efficient firm to provide the
5 network functions and basic exchange services that are
6 considered by the Hatfield Model; is that correct?

7 A Yes, sir; that's correct.

8 Q Okay. And the model uses the least cost technology;
9 is that correct?

10 A It uses the least cost forward-looking technology that
11 is currently available in the marketplace; that's correct.

12 Q All right. And this is what's known as a scorched
13 node model; is that correct?

14 A That's right. It includes your existing switching
15 locations but it builds up a network from that point.

16 Q Okay. So it uses the existing wire centers but it
17 doesn't use any of the transmission facilities that are out
18 there currently; is that correct?

19 A It doesn't assume the existence of those transmission
20 facilities; that's right.

21 Q Okay. Now as we talked about earlier, it's a computer
22 model, so obviously there are inputs; is that correct?

23 A Yes, sir; that's correct.

24 Q And if I understand your Exhibit DJW-4 is the model
25 description of the Hatfield Model Version 2.2, Release 2; is

1 that correct?

2 A Yes, sir; that's right.

3 Q And if I remember correctly Appendix C is a seven-
4 page list of the inputs to the model; is that correct?

5 A You do remember correctly and, yes, Appendix C is that
6 list.

7 Q Okay. Now is Appendix C to your DJW-4 what's known as
8 the default inputs to the model?

9 A Yes, that's right.

10 Q Okay. Now these are the inputs that Hatfield sends
11 out with the model; is that correct?

12 A Well, yes, they are the inputs that are included on
13 the CD-ROM as it's distributed; that's right.

14 Q Okay. And, for instance, if we look at page C-7,
15 which are the expense module inputs, we find things like the
16 operating state income and local income tax factor. Do you see
17 that? It's six lines down.

18 A Yes. Yes, I do.

19 Q Okay. Can you explain to the Commission where that
20 input into the model came from?

21 A Yes. The developers of the model looked at both
22 federal, state and local taxes as they typically occurred
23 throughout the country and created their best estimate of
24 factors that would represent that portion of that tax burden,
25 so that all of those expenses would be included.

1 Q Okay. So that factor is based on some look across the
2 nation at the various components you just described?

3 A That's right.

4 Q It's not Florida specific, in other words?

5 A It's not Florida specific.

6 Q All right. And on that same page, down at the bottom
7 there, economic lives; do you see that?

8 A Yes.

9 Q Now, if I recall correctly, those are the economic
10 lives that were determined in a Bell Atlantic Maryland
11 proceeding; is that correct?

12 A That's right. They are the most recent authorized
13 depreciation lives by state commission that were found
14 available on the public record.

15 Q And on that same page in the upper right hand corner
16 there's a structure fraction assigned to telephone; do you see
17 that?

18 A Yes, I do.

19 Q If I understand that default input, that assumes that
20 the telephone company will only pay for one third of I guess
21 it's the conduit and the telephone poles and that sort of
22 thing; is that correct?

23 A Well, it's the conduit and the poles and specifically
24 what it recognizes is that those facilities in that structure
25 are used by more than one utility, electric utilities, cable

1 companies, perhaps competitive access providers, those sorts of
2 folks, and share the expense of that structure.

3 Q So, the answer to my question is, yes, it assumes that
4 the telephone company only pays one third of those?

5 A That's right. This is based on the assumption that
6 three utilities will use that structure.

7 Q Okay. And since it's forward-looking assumption,
8 there is no concrete evidence, no pun intended, that anybody
9 can look at to see whether, for instance, that holds true
10 today?

11 A Well, we wouldn't look at whether it would hold true
12 today. In a forward-looking study, we'd look at whether it
13 would logically take place in the future. So by definition,
14 with any forward-looking study, you wouldn't be able to look at
15 today for concrete evidence one way or the other.

16 Q Okay. So this default input assumes that in the
17 future the telephone company will only pay for a third?

18 A That's right, and that either reflects the current
19 situation or a cost saving measure that could be implemented;
20 that's right.

21 Q All right. Now in addition to the inputs, these
22 inputs that we've been talking about, the model makes the
23 results state specific by operating off of census block groups;
24 is that correct?

25 A Well, in one respect that's how it becomes state

1 specific, yes. There's population density information from the
2 Census Bureau that's included.

3 Q Okay. That reminds me I missed something I wanted to
4 ask you. On page C-5 of that exhibit, there are the input
5 assumptions for the drop wire, the network interface device and
6 the splicer, terminal splicer; isn't there?

7 A Yes, those are on page 5.

8 Q Okay. And what those three things cover is the little
9 gray box on the side of the house, the drop wire to the
10 telephone pole or whatever it happens to be, and the splice at
11 the telephone pole; is that correct?

12 A That's exactly right.

13 Q And it assumes \$40 of investment for the drop wire?

14 A That's right, on average.

15 Q Okay. How long is the on average drop wire then
16 that's assumed by that \$40 figure?

17 A The \$40 investment comes from the best publicly
18 available data that we have, which is the New Hampshire study.
19 I do not know offhand the average drop length assumed, but I
20 can find that out for you.

21 Q That New Hampshire study you're talking about, that's
22 an incremental cost study that was done in 1993?

23 A I believe it's dated April 3rd, 1993; that's right.

24 Q And another input that you need, this thing not only
25 does loops and cables, but it also looks at central offices and

1 what you need in terms of switches there as well; correct?

2 A That's right.

3 Q And you have to have traffic data and that sort of
4 thing to make switch decisions; correct?

5 A That's correct. You'll need traffic data and line
6 count information.

7 Q Okay. And if I understood correctly, the source for
8 the traffic data was a 1989, or at least one of the sources,
9 was a 1989 Bellcore document?

10 A That's not quite right. The source of the call
11 characteristic information is the Bellcore document that I
12 think you're referring to. The specific traffic data is as
13 BellSouth reports it ARMIS.

14 Q Can you turn to page 24 of your Exhibit DJW-4; I may
15 just misunderstand here. Are you there?

16 A Yes, I am.

17 Q You see the paragraph C, traffic assumptions?

18 A Yes.

19 Q The first sentence says "Many of the calculations in
20 the wire center model rely on traffic assumptions suggested in
21 Bellcore documents;" correct?

22 A That's right.

23 Q And that footnote identifies a Bellcore document, the
24 one that was issued in March of 1989; right?

25 A That's right. And that refers to the -- As you

1 continue reading in that paragraph, there are call attempt per
2 busy hour and holding time assumptions that do come from that
3 document. When you refer to switching traffic, I was thinking
4 in terms more of dial equipment minutes, for example, and that
5 comes directly from BellSouth's, what BellSouth reports.

6 Q Now another source of information for these inputs was
7 a fellow named John Donovan; is that correct?

8 A That's right. He is the subject matter experts that
9 was relied upon for many of the outside plant calculations.

10 Q And by relied upon, you mean the folks at Hatfield
11 Associates consulted with him?

12 A That's right.

13 Q And if I understand what Dr. Mercer has said, though
14 there are no written reports or other documents that
15 Mr. Donovan has given Hatfield Associates to substantiate the
16 factors that he has advised them on; is that correct?

17 A I really wouldn't have any way to know that one way or
18 the other in terms of the relationship between Mr. Donovan and
19 Hatfield. I can certainly tell you that as a cost analyst at
20 BellSouth, I regularly consulted subject matter experts and we
21 didn't bother to do it in writing. We actually sat down over a
22 desk and worked these things out, much I suspect the same way
23 that Hatfield worked with Mr. Donovan, but I have no idea
24 whether they have written reports or not.

25 Q Okay. In any event you've never seen any written

1 reports or anything to help verify any of the input that
2 Mr. Donovan gave Hatfield Associates; is that correct?

3 A That's right. Again, I don't know whether they worked
4 this verbally or in written form.

5 Q Now during your deposition, the Staff asked you -- I'm
6 sorry. I have one question before I ask that. At the time you
7 did your Exhibit DJW-3, which I believe contains the current
8 results for Florida --

9 A Yes.

10 Q -- did you change any of the default assumptions in
11 the Hatfield Model?

12 A I'm sorry. Before, you mean in the process of
13 creating the revised exhibit or -- I'm sorry. I just
14 misunderstood your question.

15 Q Yes. I want to know whether the revised exhibit,
16 which has generated the numbers that have been introduced into
17 this record, were generated using the defaults that came with
18 the Hatfield Model or did you change any of the user changeable
19 inputs to make them Florida specific?

20 A I think there's two questions. The difference in the
21 original exhibit and the revised exhibit reflects purely a
22 change in a calculation. It doesn't reflect any change in any
23 inputs. In order to create both of these, the model was run
24 using the default inputs. It was not necessary to make any
25 changes.

1 Now subsequent to that, at the request of Staff, we
2 have made a run using Florida specific depreciation lives and I
3 believe the results of that run, one of the late-filed
4 deposition exhibits that is here, I would note that it really
5 didn't make much difference.

6 Q All right. I'm going to get to that for a minute. I
7 wasn't asking for why you had a revision. All I want to
8 confirm, and I think you have now, is that when you ran the
9 study that we're looking at here as your DJW-3, you simply used
10 a default input, you didn't alter any of them to make them
11 Florida specific; correct?

12 A That's right.

13 Q Okay. Now the Staff did ask you to run it, we talked
14 earlier that the depreciation lives, economic lives were taken
15 from a Bell Atlantic Maryland study. The Staff did ask you to
16 run this again using Florida specific or latest Florida
17 approved depreciation rates; didn't they?

18 A That's right.

19 Q And if I understand correctly, that late-filed exhibit
20 is contained in the Staff Exhibit DJW-6. Have you looked at
21 that exhibit yet?

22 A Yes, I have.

23 MR. LACKEY: Okay. And if I understand correctly, the
24 results begin on page 69 of that exhibit. I don't want to mark
25 this because it will get out of order with some exhibits I'm

1 going to use, if I can, Madam Chairman, if we could just leave
2 it for the Staff.

3 CHAIRMAN CLARK: Okay.

4 BY MR. LACKEY (Continuing):

5 Q Have you got that exhibit in front of you, Mr. Wood?

6 A Yes, sir. Page 69, as they're numbered, is a
7 discussion of how the last approved depreciation lives were
8 incorporated into the model and then 70 through 72 are the
9 results of that process.

10 Q All right. And if I understand correctly, for
11 instance, the overall state number went from \$11.89 to \$12.13
12 by changing the depreciation rates; is that correct?

13 A Well, yes, but the total loop costs per month went
14 from \$11.89 to \$12.13.

15 Q Okay. And the total loop costs in every density zone
16 went up as a result of using the Florida specific depreciation
17 rates; didn't it?

18 A I think the answer is yes but not by much.

19 Q Okay. Well, and density zone, the first density zone,
20 0 to 5 lines per square miles it went from \$82.80 to \$86.12;
21 didn't it?

22 A That's right, which is about a -- if I do the math in
23 my head -- a 3 or 4% change. And I think that's probably the
24 largest one.

25 Q Okay. Now we were starting to talk about census block

1 groups and I want to move on to that. The Hatfield Model uses
2 census block groups in its analysis; is that correct?

3 A Yes, that's right.

4 Q And census block groups are geographic areas with
5 varying numbers of households in them; correct?

6 A That's right.

7 Q And the census blocks are of varying square mileage;
8 is that correct?

9 A That's also correct.

10 Q All right. Now as I understand it, the model uses the
11 census block groups to calculate what kind of distribution
12 cable it needs, how big the cable is and how long the cables
13 are; is that correct?

14 A Almost. It calculates the length of cable required
15 and it calculates the configuration based on the density;
16 that's right.

17 MR. LACKEY: Okay. Now I want to hand you a few
18 exhibits to see if we can illustrate this, some of which you
19 have seen before and some of which you haven't.

20 If I could get Mr. Carver to bring you and your
21 counsel a copy of this document.

22 Madam Chairman, I would like to have this document,
23 which is labeled "Hypothetical CBG No. 120379701004" marked
24 with the next exhibit number, if I could, please.

25 CHAIRMAN CLARK: It will be marked as Exhibit 32.

1 (Exhibit No. 32 marked for identification.)

2 BY MR. LACKEY (Continuing):

3 Q Now, Mr. Wood, you'll agree, won't you, that the
4 document that I have handed you, this hypothetical census block
5 group, it's not implausible that that could actually reflect
6 what a census block group would look like; is it?

7 A It's not implausible. It would be a little unusual to
8 have this kind of elongated shape, but it's certainly a
9 possible shape.

10 Q Okay. All right. You think it's -- All right.
11 That's fine. Okay.

12 Now I want to hand you another exhibit. And actually
13 I want to ask you a question as Mr. Carver brings it down to
14 you.

15 Can you tell us all what shape the Hatfield Model
16 turns this census block group, this hypothetical census block
17 group into?

18 A I'm not sure it turns it into anything. The Hatfield
19 Model, as the benchmark cost model before it, uses a square
20 census block group configuration for calculating the total
21 investment required.

22 MR. LACKEY: Madam Chairman, could I have the document
23 that Mr. Carver just handed out marked as the next exhibit
24 number, which I believe will be 33.

25 CHAIRMAN CLARK: Yes. That's correct. But I can't

1 tell -- I mean, they have the same title; don't they?

2 MR. LACKEY: No. The second one, unless Mr. Carver
3 made a serious error, should have a square on it and it should
4 have the same hypothetical CBG No. on it, but it has "Hatfield
5 Projection" written underneath.

6 CHAIRMAN CLARK: Okay.

7 (Exhibit No. 33 marked for identification.)

8 BY MR. LACKEY (Continuing):

9 Q Now, Mr. Wood, Exhibit 32, with Hypothetical CBG
10 120379701004, has an area of 25 square miles and a density of 4
11 lines per square mile; is that correct?

12 A That's correct. I'm sorry, Mr. Lackey, the first page
13 you gave me is No. 32 or the second page is No. 32?

14 Q The first one, the one that looks like the State of
15 California laid on its side, is Exhibit 32.

16 A Okay. I thought it was a whale.

17 Q That's okay, too. Exhibit 33 represents the way the
18 Hatfield Model treats it. It treats it as if it were a square,
19 five miles on a side; is that correct?

20 A Well, I don't know if the word "treats it" is the
21 right one. It certainly calculates feeder and distribution
22 lengths based on a square configuration; that's right.

23 Q And, indeed, if I understand the model correctly, if
24 you will look at Exhibit 33, you will see a little square, a
25 little rectangle, 1.25 miles from the bottom of it; do you see

1 that?

2 A Yes, I do.

3 Q Now that's called the serving area interface in the
4 Hatfield Model; isn't it?

5 A That's right.

6 Q And it's located in the Hatfield Model for each census
7 block group one quarter of the way from each one edge to the
8 center of the square; is that correct?

9 A That's right.

10 MR. LACKEY: All right. Now let me hand you the next
11 exhibit.

12 Madam Chairman, this one -- Why don't I wait until it
13 gets out there and then we'll number it.

14 (Exhibit No. 34 marked for identification.)

15 BY MR. LACKEY (Continuing):

16 Q Now the Hatfield Model, if I understand it correctly,
17 Mr. Wood, assumes that the households and then the lines are
18 equally distributed throughout the square that is created or
19 that was reflected on Exhibit 33; is that correct?

20 A For the medium and high density CBGs, that's right;
21 for the low density CBGs, that's not right.

22 Q Okay. Let's see if we can short circuit this part of
23 it. Mr. Wood, I have another set of four exhibits just like
24 the ones I just gave you.

25 A Yes.

1 Q That have the same square mileage and a density of 11
2 miles, 11 lines per square mile. That would move it up into
3 the medium; wouldn't it?

4 A I believe so.

5 Q So rather than hand them out and mark them, can you
6 and I just agree that the ones we've given you would fairly
7 represent the distribution of the households if it were a
8 medium size CBG?

9 A I think we can for this discussion. I would point out
10 that I think we need to go to 200 lines rather than 11 per
11 square mile, but assuming we move it into that density range,
12 that's fine; this is correct.

13 Q All right. Now so Exhibit 34, which is, again, just
14 the hypothetical CBG but now has squares in it and little
15 houses in it, represents how the households are assumed to be
16 distributed in the census block group; is that correct?

17 A Yes, sir; that's right, which is why as we discussed
18 before I believe the Hatfield Model overstates the relevant
19 costs.

20 Q Okay. Now, if I understand -- and now we're at the
21 important point -- the Hatfield Model determines the length of
22 the distribution cable that's used in the square by taking
23 five-eighths of one side of the square? In other words, in
24 this case it would multiply five-eighths times five miles to
25 get the distribution cable length; is that correct?

1 A That's right. Now, there will be a different number
2 of distribution cables depending on the density of the zone,
3 but there will be some number of equal length distribution
4 cables at that length.

5 Q That's what I'm going to.

6 A Yes, sir.

7 Q So with this census block group, the Hatfield Model
8 would tell you that you would get a certain number of
9 distribution cables each 3.125 miles long; is that correct?

10 A Accept your math; I believe it's right.

11 Q Now the point you were just making has to do with
12 density. Let's look at your exhibit DJW-4, and I think it's on
13 page 19. Are you there?

14 A Yes, I am.

15 Q Okay. Now that chart in the middle of that page tells
16 you for each density the number of cables that the model allows
17 for this census block group; is that correct?

18 A That's right.

19 Q And, for instance, in the group I had, which was 0 to
20 5, you'd only get two distribution cables, each of 3.125 miles
21 in length; correct?

22 A That's right.

23 Q And if there were a density of 5 to 200, you'd get 4
24 cables of the same length, 3.125?

25 A That's right.

1 Q And if you were 600 to 850 lines per square mile,
2 you'd still get 4 cables of the same length; right?

3 A That's right.

4 Q And then you jump up to six cables of the same length
5 when you go to the next density group; right?

6 A That's right.

7 Q But all the cables are the same length; is that
8 correct?

9 A That's right. That's a modeling assumption. Again,
10 we're not designing the specific network as you would deploy
11 it. We are modeling the total amount of investment that would
12 be required to do so.

13 Q Okay. But when your model runs, it treats it, it
14 gives you the amount of cable based on what we've just talked
15 about; right? It tells you how many feet of cable you need and
16 you calculate the price based on that; correct?

17 A Well, it gives you how many feet of cable you need;
18 that's right.

19 Q And that's an input into figuring out what the price
20 of the distribution system would be; isn't it?

21 A That's correct.

22 MR. LACKEY: Okay. Now I'm going to hand out one more
23 exhibit to you, I would like to have marked with the next
24 number, which is Exhibit 35, I believe, Madam Chairman.

25 CHAIRMAN CLARK: Yes. Let's make it clear that

1 Exhibit 35 is also Hypothetical CBG 120379701004, the Hatfield
2 projection with houses.

3 MR. LACKEY: Yes.

4 (Exhibit No. 35 marked for identification.)

5 MR. LACKEY: Now what I've given you --

6 CHAIRMAN CLARK: And what is 35; would you describe
7 it?

8 MR. LACKEY: Yes. 35 is the same California on its
9 side or a whale, as Mr. Wood said, except I put the mileage on
10 it this time that shows how long it is on average and how wide
11 it is on average.

12 BY MR. LACKEY (Continuing):

13 Q Do you see that Mr. Wood?

14 A I can see the length. I can't really read the -- Is
15 it 2.3 is the width numbers?

16 Q It's 2.3 miles wide on average and it's 10.9 miles
17 long on average; right? Does that seem to be --

18 A Yes, I agree with you, sir.

19 Q Okay. Now the Hatfield Model assumes that these
20 cables all run from the common point, the serving area
21 interfaces; is that correct?

22 A That's right.

23 Q So the most length you can get is 6.2 miles; is that
24 correct?

25 A That's right.

1 Q So, is there any point in the census block group
2 that's on Exhibit 35, is there any point in that census block
3 group where you can actually reach with 6.2 miles all of the
4 CBG that is on average 10.9 miles long?

5 A I assume if you've drawn this as you intended to, the
6 answer is no, that there won't be.

7 Q Okay. So if this were a census block group, the
8 Hatfield Model would tell you that you needed 2, 4, 6 or 8
9 distribution cables, each 3.125 miles long, and since they all
10 run out of the serving area interface, that means the most
11 spread you could get is 6.2 miles, which means you couldn't
12 reach either end of the CBG with that cable; could you?

13 A From, on this particular CBG, you're absolutely
14 correct; no dispute about that at all.

15 MR. LACKEY: Okay. Now I'm going to hand you another
16 exhibit, which is I guess Exhibit 36.

17 CHAIRMAN CLARK: Would you give it a title,
18 Mr. Lackey?

19 MR. LACKEY: This, the first page has the label "Block
20 Group 120110703.012."

21 (Exhibit No. 36 marked for identification.)

22 BY MR. LACKEY (Continuing):

23 Q Now, Mr. Wood, have you examined the census block
24 groups in Florida?

25 A I've seen them out there. There are hundreds. So,

1 no, I guess this goes back to our early discussion: No, I have
2 not reviewed each one in detail.

3 Q Would you accept, if I represented it to be the case,
4 subject to check, that the eight pages of Wood's Cross Examine
5 Exhibit 36 represents 8 census block groups in Florida?

6 A Subject to check, certainly.

7 Q Okay. So when you said in response to my Exhibit 32
8 that it looked like a bit of an odd shape, page 1 of Exhibit 36
9 looks like a big 1; doesn't it?

10 A I'll accept your characterization, yes.

11 Q Well, look at No. 2, 2 has some of the
12 characteristics -- that's Page 2 of that exhibit -- has some of
13 the characteristics of my Exhibit 32; doesn't it?

14 A Certainly.

15 Q How about page 3?

16 A Yes.

17 Q And, by the way, when your model calculates the
18 distribution in each of these census block groups, it turns
19 each one of them into a square and takes five-eighths of the
20 side of the square in determining the length of the
21 distribution cable; right?

22 A That's right. And part of that five-eighths
23 calculation is intended to represent two things: One is that
24 there are census block groups, as you found eight out of some
25 number of hundreds, that appear to be relatively elongated. To

1 the extent that there are census block groups that are not
2 elongated but, in fact, are what we'd call some rough circular
3 or cloud shape, which is also a very typical configuration, in
4 fact, much more typical than these, you're going to find that
5 that five-eighths overstates the amount of distribution cable
6 required.

7 So, certainly the model developers when they developed
8 the five-eighths did so with full awareness that CBGs are
9 shaped differently and for, we could certainly pick and choose
10 the odd birds of the lot and find a few, a handful among
11 hundreds, where there is going to be a slight overstatement and
12 where there is going to be a slight understatement; no dispute
13 about that.

14 Q So we're falling back on the old in the end it's all
15 right on the average; is that correct?

16 A Oh, no, sir; I don't think we're falling back on
17 anything. I think we're looking at a modeling process that for
18 the absolute vast majority of these very discrete geographic
19 units is extremely accurate. For a few outliers on each end of
20 the scale, it will be less accurate. I don't think there is
21 any falling back at all in those terms.

22 Q Page 5 looks like my Exhibit 32 as well; doesn't it?

23 A I'm sorry.

24 Q Page 5.

25 A I've lost track. I will certainly agree with you,

1 Mr. Lackey, that you have found however many examples there are
2 that are elongated in shape.

3 Q And, ever more importantly, you don't know whether I
4 found all of them because you haven't examined them; have you?

5 A Yes, sir; I have examined them. No, I can't tell you
6 for however many hundred there are that these show up or don't
7 show up. I don't think you'd mislead me. If you tell me these
8 are in Florida, I believe you.

9 Q Okay. And we can agree, can't we, just based on the
10 little demonstration of a while ago that for each of the ones
11 I've given you, these eight, the Hatfield Model is going to
12 give you a distribution run, cable run, that isn't going to be
13 long enough to cover the census block; won't it?

14 A As you found these, yes, just as there would be some
15 census block groups where the distribution cable would be
16 overstated.

17 MR. LACKEY: That's all I have, Madam Chairman.

18 CHAIRMAN CLARK: Staff.

19 CROSS EXAMINATION

20 BY MS. BARONE:

21 Q Good afternoon, Mr. Wood. Do you have exhibits
22 previously identified as DJW-5 and DJW-6 before you?

23 A Yes, I do.

24 Q DJW-5 is your deposition transcript. DJW-6 are
25 several late-filed exhibits. Do you have any changes or

1 corrections to make to those exhibits?

2 A No, I do not.

3 Q And are they true and correct to the best of your
4 knowledge and belief?

5 A I believe they are, with DJW-5, my recollection is
6 that there are a couple of nonsubstantive typographical errors
7 but they don't change the intent. So, yeah, I don't have any
8 changes.

9 MS. BARONE: Thank you. Madame Chairman, Staff
10 requests that these exhibits be marked as Composite Exhibit No.
11 37.

12 CHAIRMAN CLARK: They will be -- DJW-5 and 6, Staff
13 exhibits, will be marked as Composite Exhibit 37.

14 MS. BARONE: Thank you.

15 (Composite Exhibit No. 37 marked for identification.)

16 BY MS. BARONE (Continuing):

17 Q Mr. Wood, I'd like you to turn to Exhibit DJW-2, which
18 is attached to your Direct Testimony, specifically page 26.

19 A Yes.

20 Q In the left-hand column there's an entry entitled
21 "Forward-Looking Network Operations Factor." And it reflects a
22 value of .700. Would you please explain to me what this factor
23 represents and how it is used in the Hatfield Model?

24 A Yes, of course. The objective, of course, of the
25 developers of the model have been to include forward-looking

1 expenses including network operations. Where forward-looking
2 data is available, that's been used. Where it's not available,
3 it's been necessary to rely on historical data ARMIS and then
4 to use that as a basis for projecting forward.

5 There are a number of public sources around the
6 country that have indicated that the expectation on behalf of
7 the incumbent companies that network operations expenses
8 specifically will decline over time. In New Hampshire, the
9 estimate was that they would decline by about 30%. The
10 testimony of Pacific Bell was that they would decline by over
11 50%. In order to be somewhat conservative, the 30% figure is
12 used here.

13 So the .7 is multiplied times existing network
14 operations expense to reflect the expectation that in the
15 future those expenses will decline over time, again, by the
16 more conservative choice among the available options of 30%.

17 Q Aren't most expense factors in the model based on
18 ratios of historic expenses to the investments to which they
19 are associated?

20 A Most of them are, yes.

21 Q What was the primary source you used to arrive at the
22 expense factors that were used in the model?

23 A Well, there are a number. Of course, as I described,
24 BellSouth's ARMIS reporting was a major source because it
25 simply represents the best available public data, and that

1 being the underlying principle of the model that was the source
2 of last resort, if you will. There were other -- Where
3 forward-looking factors were available, they were used. For
4 example, for digital switching expense on going forward, there
5 was publicly available data that was not historic and that was
6 used.

7 Q Was that the 1995 ARMIS report?

8 A Yes, I believe it was.

9 Q Isn't it true that by using the default value for the
10 forward-looking network operations factor, it is assumed that
11 network operations expenses will be reduced by 30% from the
12 historic levels?

13 A That's right, and, again, if Pacific Bell is right,
14 the real number is more like 55 or 56%. So this is fairly
15 conservative.

16 Q Mr. Wood, Staff is now handing you an excerpt from
17 part 32 of the Code of Federal Regulations. It's more commonly
18 referred to as the Uniform Systems of Accounts.

19 A Yes.

20 Q Looking at that document, could you tell me
21 specifically what expense account items are included in network
22 operations expense?

23 A The short answer is that it's probably sub-account
24 65-30, but it may in fact include 65-32. And I don't want to
25 mislead you. So I would have to verify that answer.

1 Q Would you agree that it includes 65-31, power expense?

2 A It may very well do so.

3 Q Do you know whether it includes 65-32, network
4 administration expense?

5 A Well, that's what I was just saying. I've seen this
6 on a composite basis. Let me see. Let me look very quickly at
7 a note and make sure that I don't have a better answer for you.

8 It certainly includes 65-30, network operations. And
9 it also includes an account which may not be on here, which is
10 network support.

11 Q Mr. Wood, I believe --

12 A Let me confirm that for you before I give you the
13 wrong answer.

14 Q I believe if you'll look at the first paragraph under
15 32.65-30, network operations expenses, that it enumerates the
16 accounts.

17 A Oh, I'm sorry. I'm sorry. You are correct. What I
18 have seen consolidated is 65-30 and it includes the following
19 sub-accounts. So, yes, it's accurate to say that 65-30 is the
20 correct account to look at.

21 Q Thank you. And you earlier stated that one of the
22 items included is account 65-31; isn't that true?

23 A I expect that that's right, yes.

24 Q Would you please read for me the description of what
25 is booked to account 65-31?

1 A Sure. "This account shall include the cost of
2 electrical power used to operate the telecommunications
3 network."

4 Q Sir, by applying the .700 forward-looking network
5 operations factor, isn't it true that the effect is to assume
6 that power expense will be reduced by 30% relative to the 1995
7 levels?

8 A Not exactly. The 30% refers to all of these accounts
9 in the aggregate, to everything that's represented in 65-30. I
10 suspect that they're not counting on, either NYNEX or Pacific
11 Bell, the two companies that have made a public statement, are
12 not relying on this particular power account to represent the
13 bulk of the reductions. I think they're probably looking at a
14 little more efficient operations in general. So I suspect that
15 this sub-account is not the source of the reduction but that
16 other sub-accounts are.

17 Q Would that also be true for the testing expense?

18 I was going to ask you isn't it also true that it's
19 assumed that the testing expense will be reduced by 30%
20 relative to 1995 model?

21 A Well, yeah, and, again, it's not assumed that this is
22 a 30% across the board for each sub-account in order to get 30%
23 of the account. I can certainly see there are some reasons why
24 testing expense would be expected to decrease over time, which
25 makes it a little different than power. So I expect that part

1 of the expected decrease would come from testing.

2 Q Do you know what the impact of using this forward-
3 looking network operations factor is on the model's computed
4 total loop costs?

5 A I have not run the model with the different
6 assumptions to see the difference, but it would certainly be
7 possible to do that.

8 Q Would you accept, subject to check, that using the
9 .700 factor reduces total loop costs by 94 cents?

10 A If that's a model or a run that Staff has made, I'll
11 accept your representation. Again, we're trying to get
12 forward-looking costs as accurately as we can.

13 My suspicion is the correct interpretation is that on
14 a forward-looking basis this is accurate. What you see is in
15 that 94 -- Represented in that 94 cents is the overstatement of
16 costs from Hatfield that result from the fact that embedded
17 ARMIS data has been used in many cases.

18 So to the extent that existing expenses are higher
19 than forward-looking expenses, there's an overstatement
20 currently in the model and that's probably what that 94 cents
21 represents.

22 Q I'd like to turn back to page 2 of your Exhibit DJW-2.

23 A Yes.

24 Q There are some numbers under the title "Structure of
25 Fraction Assigned to Telephone." Would you please describe

1 what these are and how they're used in the model.

2 MR. MELSON: What page are you on?

3 MS. BARONE: That is Page 2 of 26 of DJW-2.

4 A Yes. These are, with regard to as I discussed with
5 Mr. Lackey, with regard to poles, conduit and trenches, the so-
6 called structure associated with placing plant. The
7 realization that there are cost savings to be had going forward
8 with consolidation of different utility facilities on a given
9 structure; putting an electrical and a telephone wire on the
10 same pole, for example.

11 It's not unusual today, even in an environment where
12 there really haven't been strong incentives, for utilities to
13 find ways to coordinate their efforts and save costs. Going
14 forward in a new environment where greater incentives might
15 expect to exist, I think we're going to see more of it. So
16 this represents a sharing of poles, conduit and trenches with
17 two other utilities, electric and cable, for example.

18 BY MS. BARONE (Continuing):

19 Q Isn't it true that the model run for BellSouth assumed
20 there would be buried cable?

21 A There would be some buried cable, that's right.
22 Depending on which part of the network you're looking in, it
23 will be a different amount.

24 Q But it was assumed in the model; is that correct? It
25 was an assumption?

1 A I think only for distribution, but, yes, there is
2 certainly some buried cable involved.

3 Q What do you mean only for distribution?

4 A Well, I think with, if you look at the different
5 network components, for feeder I believe it's all either on a
6 pole or in a conduit. It's only when you get to distribution
7 cables after that serving area interface where you have a case
8 where some of them might be what's called buried as opposed to
9 underground, which means that there is no conduit, they're
10 actually just plowed directly into the ground.

11 Q Now isn't it true that to install buried cable, a LEC
12 incurs costs associated with trenching?

13 A Yes, absolutely.

14 Q Now according to the Hatfield documentation you've
15 submitted, on page 3 of DJW-4, the model assumes trenching
16 costs to be \$45 per foot; is that correct?

17 A I believe that's right. That sounds right. I'm
18 sorry, I missed your page reference, though.

19 Q That is your Exhibit DJW-4, at Appendix C, on page 3,
20 if you would like to take a look at that.

21 A Oh, sure. I'm sorry. C-4?

22 Q C-3.

23 A That's the problem.

24 Q I believe it's in the bottom right-hand corner.

25 A Yes, that comes from the Means Database, which is a

1 national publication of construction costs.

2 Q So by using a structure sharing factor of .33, would
3 you agree that only \$15 per foot for trenching is attributable
4 to telephone service?

5 A That's right.

6 Q Now, however, the LEC presumably spent \$45 per foot
7 for trenching?

8 A Well, collectively the local exchange company, the
9 power company and the cable company could spend \$45 per foot.
10 The idea here, of course, is that if each goes out and does so
11 individually, that's less efficient and higher costs than if
12 they consolidate their efforts. I think you're less likely to
13 see this, frankly, on the distribution piece that we're talking
14 about. It's a quite common practice regarding poles and
15 conduit.

16 Q In your opinion, would it be normal procedure for a
17 LEC to seek out other service providers to share the costs of
18 trenching before they install buried cable?

19 A Historically, in a rate of return environment,
20 probably not because having looked, I haven't seen a lot of
21 incentives to seek out cost-saving measures. If we believe
22 what BellSouth told us as they moved to a price cap environment
23 and what they tell us about competition and the new incentives
24 that creates for them, then, yes, I would definitely expect
25 them to be seeking out cost-saving ways and this is certainly

1 one of them.

2 Q Is that MCI's current practice?

3 A I don't know MCI's current practice. I apologize. I
4 believe -- I know they share rights-of-way quite frequently,
5 but I don't know with regard specifically to trenching. I'm
6 sure they also -- I know for a fact that they share poles and
7 conduit as well, but I don't know specifically for trenching,
8 if that's your question, but certainly for the other structure
9 they do share.

10 Q Do you know what percent of BellSouth's conduits are
11 shared by other kinds of service providers?

12 A Today, I don't know. Again, we need to look at what's
13 been done today and the new incentives going forward because I
14 think going forward we may see a very different practice.

15 Q And do you know what percent of BellSouth's telephone
16 poles are shared by other kinds of providers?

17 A I don't know.

18 Q Would you accept subject to check that using the .33
19 factor reduces total loop costs by \$3.37 per month or 28%?

20 A Again, if that's a run of the model that staff has
21 made, I'll accept your results.

22 Q Sir, when a telephone company installs copper cable,
23 is the kind of cable that could be suspended on telephone poles
24 identical to the kind of cable that would be buried in the
25 ground?

1 A No, the buried cable includes a different sheath to
2 protect it from the elements.

3 Q Is the price of cable that could be suspended on poles
4 identical to the price of cable that could be buried in the
5 ground?

6 A It's going to differ slightly. The primary
7 determinate is going to be the size of the cable and the number
8 of pairs, the diameter, if you will, but there may be also cost
9 differences.

10 Q Do you know whether the Hatfield Model assumes that
11 the materials price of aerial cable differs from that of
12 underground cable?

13 A I think the answer is that there is not a different
14 materials price but that both types of materials have been
15 incorporated in the materials prices that you see. And I'm not
16 sure. I'm looking at the information we provided recently, and
17 I'm not sure how to refer to this document. It's the sources
18 of the input data that we provided and, specifically, pages 29
19 through 31 give you cable costs per foot and it is broken out
20 by aerial and underground and there are different cost amounts,
21 I believe. It's certainly broken out that way.

22 Again, the primary determinate being cable size, but
23 there's a different list here depending on whether it's
24 underground, aerial or buried.

25 MR. MELSON: Chairman Clark, I need to ask a

1 clarifying question that I had intended to save until later.

2 On Exhibit 37, DJW-6, it indicates Late-Filed Exhibit
3 No. 8 not provided, too voluminous. My question is whether
4 that is intended to be part of the exhibit or whether it was
5 intended to be excluded from the exhibit?

6 MS. BARONE: It's intended to be part of the exhibit,
7 but since it was so large we didn't include it in the packet.
8 So it will be in the record.

9 MR. MELSON: In that case, the witness' last reference
10 to page numbers of a document that he didn't know how to refer
11 to would be to this Late-Filed Exhibit 8, which is in fact part
12 of Exhibit 37.

13 CHAIRMAN CLARK: Thank you, Mr. Melson.

14 MS. BARONE: Thank you; I was going to ask the same
15 question.

16 WITNESS WOOD: Yes, I'm sorry. I wasn't sure how to
17 refer to that, but that's what I was looking at.

18 BY MS. BARONE (Continuing):

19 Q Mr. Wood, would you please turn to page 7 of your
20 Direct Testimony at lines 2 through 6?

21 A Yes.

22 Q You state, "In contrast to the difficulty often
23 experienced when attempting to evaluate ILEC cost studies in
24 the underlying models, a review of the Hatfield Model can be
25 direct and straightforward. Complete and detailed

1 documentation of the model is available, including descriptions
2 of both the model algorithms and the inputs and assumptions
3 used."

4 The documentation that you're referring to, is that
5 the Hatfield Model?

6 A Well, it's a combination of several things. And,
7 quite honestly, we have provided them to you as we have them
8 because these things have been under development, but it is the
9 document entitled "Hatfield Model Documentation," which you
10 have, "Model Description," I'm sorry. And I don't have the
11 correct exhibit number.

12 MR. MELSON: It's Exhibit 31.

13 WITNESS WOOD: It also includes the document that we
14 were just referring to I think in that category. And it also
15 really involves the process. What I'm describing here is the
16 fact that because the Hatfield Model is set up in Excel
17 spreadsheets, you can actually use the tracing function to step
18 your way through each of the calculations and it will track you
19 cell by cell exactly how this thing works. And all of those
20 things collectively are what I'm describing here as far as the
21 publicly available material that allows the model to be
22 reviewed.

23 BY MS. BARONE (Continuing):

24 Q So by -- You use the term "algorithm." Do you mean
25 "formula"? Is it the same as formulas?

1 A Well, I think in this context we can use them the
2 same, yes. You can step through the spreadsheets and see the
3 formula that's in each cell and as you work through those
4 formulas you get what would be the algorithm, which is how the
5 model calculates certain things. So, again, it's open in that
6 regard in contrast to BellSouth's cost models, for example,
7 which we don't have the opportunity to evaluate electronically.

8 CHAIRMAN CLARK: Ms. Barone, let me interrupt you.
9 How much more do you have?

10 MS. BARONE: Several pages.

11 CHAIRMAN CLARK: Okay. We need to take a break. I
12 apologize to the court reporter. We will take a break until 20
13 after 3:00 and then we will start again with your cross
14 examination.

15 (Brief recess.)

16 (Transcript continues in sequence in Volume 8.)

17

18

19

20

21

22

23

24

25