


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

 In the Matter of : DOCKET NO. 970512-EU
 :
 Petition to resolve :
 territorial dispute with Clay :
 Electric Cooperative, Inc. in :
 Baker County by Florida Power & :
 Light Company. :



VOLUME 2

AFTERNOON SESSION

Pages 168 through 339

PROCEEDINGS: HEARING

BEFORE: COMMISSIONER SUSAN F. CLARK
 COMMISSIONER JOE GARCIA

TIME: Commenced at 9:35 a.m.

PLACE: Betty Easley Conference Center
 Room 148
 4075 Esplanade Way
 Tallahassee, Florida

REPORTED BY: JOY KELLY, CSR, RPR
 Chief, Bureau of Reporting
 (904) 413-6732

APPEARANCES:

(As heretofore noted.)

DOCUMENT NUMBER - DATE
 11210 OCT 31 5
 FPSC-RECORDS/REPORTING

I N D E X

MISCELLANEOUS - VOLUME 2

ITEM	PAGE NO.
CERTIFICATE OF REPORTERS	340
WITNESSES - VOLUME 2	
NAME	PAGE NO.
HERMAN DYAL	
Direct Examination By Mr. Haswell	171
Prefiled Direct Testimony Inserted	174
Cross Examination By Mr. Logan	186
Cross Examination By Ms. Jaye	212
Redirect Examination By Mr. Haswell	240
Recross Examination By Mr. Logan	247
ROBERT A. HOOD (Rebuttal)	
Direct Examination By Mr. Logan	250
Prefiled Rebuttal Testimony Inserted	252
Cross Examination By Mr. Haswell	258
REX E. NOBLE, JR. (Rebuttal)	
Direct Examination By Mr. Logan	266
Prefiled Rebuttal Testimony Inserted	267
Cross Examination By Mr. Haswell	274
Redirect Examination By Mr. Logan	281
EDWARD R. BRILL (Rebuttal)	
Direct Examination By Mr. Logan	282
Prefiled Rebuttal Testimony Inserted	284
Cross Examination By Mr. Haswell	296
Cross Examination By Ms. Jaye	309
Redirect Examination By Mr. Logan	309
HERMAN DYAL (Rebuttal)	
Direct Examination By Mr. Haswell	313
Prefiled Rebuttal Testimony Inserted	315

1 **WITNESSES - VOLUME 2 CONTINUED:**2 **NAME** **PAGE NO.**3 **STAFFORD McCARTNEY (Rebuttal)**4 **Prefiled Rebuttal Testimony Inserted** **329**
5 **Into the Record by Stipulation**6 **EXHIBITS**

7	NUMBER		ID.	ADMTD.
8	9	HD-1 and-2	173	250
9	10	Aggregate Billing Partial	204	250
10		Requirements Service		
11		Agreement between FPL and		
12		Seminole Electric		
13	11	Nine Staff discovery	218	250
14		documents		
15	12	Information on Leasing	280	262
16		River City Plastics Two		
17		Generators		
18	13	Specification for Automatic	306	312
19		Throwover Switch		
20	14	SM-1	327	327
21	15	Outage Information	327	327
22		Duval Plant		
23				
24				
25				

P R O C E E D I N G S

(Hearing convened at 1:20 a.m.)

(Transcript follows in sequence from
Volume 1.)

COMMISSIONER CLARK: Let's go back on the record. Commissioner Garcia is walking down as we speak, so maybe we can get the witness on the stand and get the formalities taken care of.

MR. HASWELL: Yes, ma'am. I'd like to call Herman Dyal.

- - - - -

HERMAN DYAL

was called as a witness on behalf of Clay Electric Cooperative, Inc. and, having been duly sworn, testified as follows:

DIRECT EXAMINATION

BY MR. HASWELL:

Q Would you please state your name for the record?

A I'm Herman Dyal, Director of Engineering for Clay Electric Cooperative.

Q Are you the same Herman Dyal who has filed prepared direct testimony in this cause?

A Yes.

Q Okay. Do you have any additions, deletions

1 or corrections to that testimony?

2 A No.

3 Q Okay. If I ask you the same questions today
4 would your answers be the same?

5 A Yes.

6 Q And have you also prepared and attached to
7 your testimony two exhibits, HD-1 and HD-2?

8 A Yes.

9 COMMISSIONER CLARK: Mr. Haswell, can I
10 interrupt you for just a minute? Do I not have the
11 right testimony? It's July 28th, 1997, and I notice
12 from Line 10 of Page 1 it has in parenthesis "(need
13 answer.)" Look at your copy. What do you have on
14 Page 1, Line 10? We need to know how long you have
15 worked for Clay Electric Cooperative?

16 MR. HASWELL: I guess that snuck by us.

17 WITNESS DYAL: I have been with Clay about
18 11 years.

19 COMMISSIONER CLARK: Okay. You have been a
20 director of engineering -- the division chief of
21 distribution engineering for the same amount of time
22 you have been with Clay?

23 WITNESS DYAL: Right. I've only been
24 director of engineering about six, seven months now.

25 COMMISSIONER CLARK: Okay.

1 **MR. HASWELL:** I would respectfully request
2 that the direct prefiled testimony of Mr. Dyal be
3 entered into the record as though read with that
4 correction to Page 1, Line 10.

5 **COMMISSIONER CLARK:** The prefiled direct
6 testimony as corrected today of Mr. Herman Dyal will
7 be inserted into the record as though read.

8 **MR. HASWELL:** And I request that his
9 exhibits HD-1 and HD-2 be assigned a number for
10 identification.

11 **COMMISSIONER CLARK:** We will mark exhibits
12 HD-1 and HD-2 as Composite Exhibit 9.

13 (Exhibit 9 marked for identification.)
14
15
16
17
18
19
20
21
22
23
24
25

- 1 Q. Please state your name and business address.
- 2 A. Herman Dyal, Clay Electric Cooperative, Inc., Post Office Box 308, Keystone
3 Heights, Florida 32656.
- 4
- 5 Q. What is your current occupation and position?
- 6 A. I am a licensed professional engineer and Director of Engineering for Clay Electric
7 Cooperative, Inc.
- 8
- 9 Q. How long have you worked for Clay Electric Cooperative, Inc. ("Clay")?
- 10 A. (Need answer) *about 11 years*
- 11
- 12 Q. Before becoming Director of Engineering, what other positions have you held at Clay
13 and for long?
- 14 A. I was Division Chief of Distribution Engineering for 11 years.
- 15
- 16 Q. What is your education?
- 17 A. I have a Bachelor of Science in Electrical Engineering from the University of Florida,
18 which I received in 1973.
- 19
- 20 Q. What is your professional experience as an engineer?
- 21 A. I have worked some 24 years in the utility industry.
- 22
- 23 Q. What professional licenses do you hold in Florida and any other state?
- 24 A. I am a registered Professional Engineer in Florida and Georgia.
- 25

1 Q. What professional associations do you belong to?

2 A. I am a member of the Institute of Electrical and Electronic Engineers. (IEEE)

3

4 Q. Describe Clay's electric facilities in Baker County, Florida, including their type and
5 capacity?

6 A. We serve some 1900 members in Baker County. We operate over 230 miles of
7 distribution lines, one mile of 115 kV transmission line and one substation
8 (Sanderson) in Baker County. As you can see by the shaded map of Baker County,
9 Exhibit ^{COMP}9 (HD -9) we serve a large portion of Baker County that is not taken up
10 in timber land, the Lake Butler Wild Life Management Area or Osceola National
11 Forest.

12

13 Q. Approximately when were Clay's first electric facilities constructed in Baker County?

14 A. We have been serving members in Baker County since the early 1940's, in fact the
15 single phase line along the easterly part of Arnold Rhoden Road was built in 1947.
16 The Sanderson Substation was built in 1973, along with one mile of 115 kV
17 transmission line to serve the substation.

18

19 Q. Describe Clay's facilities in the area of the Baker County Industrial Park where the
20 new River City Plastics facility is being constructed?

21 A. As you can see from Exhibit ^{COMP}9 (HD-2) we have the River City Plastics
22 manufacturing plant which is just north of the Baker County Industrial Park. To the
23 east some 1800-1900 feet we have a single phase 14.4 kV distribution line. Another
24 approximately 5,000 feet to the east we have a three phase feeder line going north
25 from our Sanderson Substation some 2-¼ miles to the south.

1 Q. How close is the nearest Clay electric facility to the River City Plastics approximate
2 point of service?

3 A. Along the road some 1800-1900 feet to the entrance road.
4

5 Q. How close is the nearest Florida Power & Light facility to the approximate location
6 of the River City Plastics point of service?

7 A. I understand they will serve the site from their Wiremill Substation some 1800 feet
8 from the entrance road.
9

10 Q. What is the expected load of the River City Plastics plant and how will Clay provide
11 that service?

12 A. The expected load at the plant is about 2,000 kW. To serve this anticipated load we
13 will need to make some system improvements, as follows and referring to Exhibit
14 COMP
9 (HD-2):

15 1. The substation transformers at Sanderson Substation are rated 7500 kVA
16 without additional cooling fans. The existing load is 6800 kVA. The
17 additional load would exceed the base rating of the transformers but with the
18 addition of cooling fans the transformer rating would increase to 10,500 kVA,
19 well above the additional load.

20 2. The three phase line going north from the substation was converted to 25 kV
21 operation in 1987. At that time a step-up transformer was installed at the
22 substation to step the voltage up on the line from 12.47 kV to 24.94 kV. The
23 transformer is rated 3750 kVA without additional cooling fans. The existing
24 load is 2630 kVA. The additional load would exceed the base rating of the
25 transformer but with the addition of cooling fans the rating would increase to

- 1 4688 kVA, sufficient to handle the additional load.
- 2 3. The plant would be served from feeder #3 of the Sanderson Substation. The
- 3 feeder runs north approximately 2-¼ miles to the tap point at Arnold Rhoden
- 4 Road. This line is operated at 24.94 kV with conductor size of #4 and #2
- 5 ACSR. The kVA rating of this line is approximately 5600 kVA. The existing
- 6 load is 2630 kVA. The additional load would bring the total load to
- 7 approximately 4800 kVA which is below the rating of the line.
- 8 4. We would rebuild approximately .6 mile of existing single phase line along
- 9 Arnold Rhoden Road. This line was built in 1947. This line would be
- 10 rephased and reconducted to 1/0 ACSR. This would have a kVA rating of
- 11 over 8600 kVA, well in excess of plant load.
- 12 5. Continue the line upgraded in step 4 another .25 mile along Arnold Rhoden
- 13 Road. This would be a new three phase 1/0 ACSR line with a kVA rating in
- 14 excess of 8600 kVA.
- 15 6. Continue new three phase line along Arnold Rhoden Road and up plant
- 16 access road approximately .65 mile. Part of this would be rebuilding a single
- 17 phase line we built to the site for construction power. Again, this line would
- 18 be 1/0 ACSR construction.

19 The total cost by phase would be:

20	Phase 1	\$ 4,500.00
21	Phase 2	\$ 1,500.00
22	Phase 3	\$ -0-
23	Phase 4	\$30,000.00
24	Phase 5	\$12,000.00
25	Phase 6	<u>\$50,000.00</u>

1 **TOTAL** **\$98,000.00**

2

3 **Q.** **Has River City Plastics requested the use of load management generators at its**
4 **plant.**

5 **A.** **Yes. They felt the generators would provide them an on site power source which**
6 **would be the most reliable in times of incimate weather. It would provide them the**
7 **ultimate reliability which they need in their manufacturing process.**

8

9 **Q.** **From an engineering standpoint is there any difference in the character and quality**
10 **of service provided by the three phase line Clay will use from its Sanderson**
11 **Substation together with the load management generators on site, and the service**
12 **proposed by Florida Power & Light which would either be single or dual feed from**
13 **its Wiremill Substation?**

14 **A.** **Yes there is. Our three phase line and the load management generators provide**
15 **superior service of the quality and character required by the customer. We are not**
16 **comparing two similar kinds of service, with one utility claiming its service would be**
17 **incrementally better. We are evaluating two different kinds of service, one offered**
18 **by Florida Power & Light and one offered by Clay. The service offered by Florida**
19 **Power & Light is, for lack of a better way of saying it, standard three phase service,**
20 **just like its other customer, Florida Wire & Cable is receiving. Clay is offering an**
21 **innovative service that takes into account the unique operational needs of the**
22 **customer through the use of load management generators for back-up as well as**
23 **load management, which when coupled with Clay's three phase service is clearly**
24 **a superior method of providing the required service.**

25 **If you compare just the three phase service from Florida Power & Light's**

1 Wiremill Substation with Clay's three phase service from its Sanderson Substation,
2 statistically there may be more exposure on Clay's 3.5 miles of three phase as
3 opposed to Florida Power & Light's ½ mile of three phase. River City Plastics has
4 reviewed outage records of both Florida Power & Light and Clay and it does not see
5 a significant difference between the two. The customer recognizes there be some
6 interruptions. His major concern is during times of intense storm weather. It is
7 during these storms that he expects to experience outages as has occurred
8 numerous times at his plant in Duval County. An outage to River City Plastics is any
9 interruption of electricity of over 12-18 cycles. This is representative of almost any
10 breaker operation of close and reclose. If he experiences an outage he loses his
11 production lines. He has some 23 production lines which some 24 employees
12 operate. This plant is scheduled to run 24 hours per day, seven days a week, all
13 year. When the plant goes down due to an electrical outage it takes two people per
14 production line to restart the line and approximately eight hours to get the line back
15 to full production. This requires they call in another complete set of shift workers to
16 help restart the plant. You can readily see the immediate costs they incur as a result
17 of a blink in electrical power. Not only do they lose 8-10 hours of product production
18 but they also must pay some 23 employees approximately eight hours of overtime.
19 You can also see that it is critical that another "blink" not occur during the eight hours
20 of restart or the process must start over.

21 It is during these intense storms that the service we offer is clearly difference
22 from the service offered by Florida Power & Light. During a storm in the immediate
23 area of the plant River City Plastics wants the ability to switch to our load
24 management generators and separate from the existing distribution system. This
25 will cut their exposure to the plant site only, not to the distribution line, substation,

1 or transmission line. Florida Power & Light is single or dual feed and would not
2 reduce this exposure. The dual feed would only provide service in the case of a
3 failure in the primary distribution or substation but would do nothing for a
4 transmission failure.

5 Our load management generators offer the only solution for dramatically
6 reducing exposure to power interruption as well as providing power in case of failure
7 to transmission system.

8

9 Q. Did River City Plastics evaluate service proposals from both Florida Power & Light
10 and Clay?

11 A. Yes. It did so through an engineering consultant who sought and received
12 information from both Clay and Florida Power & Light.

13

14 Q. Did River City Plastics formally request service from Clay?

15 A. Yes it did after reviewing a recommendation from its consultant. A copy of that
16 request is attached as Exhibit ^{COMP} 9 (HDB- 6) to Mr. Barrow's testimony.

17

18 Q. Do you know why River City Plastics decided not to request service from Florida
19 Power & Light?

20 A. Yes. Florida Power & Light would not offer the same service that Clay did.

21

22 Q. Florida Power & Light claims that service from its Wiremill Substation is reliable and
23 adequate for River City Plastics' needs, and implies that Clay's service, using load
24 management generators will either be less reliable or at least no more reliable than
25 Florida Power & Light's. Do you agree with that claim?

1 A. No. As I stated previously, the load management generators offer the only true
2 alternative to significantly lowering River City Plastics exposure to storm related
3 outages. It removes the exposure of the distribution line, substation and
4 transmission line. Even if River City Plastics were not running the generators when
5 an outage occurred they could have the units started and immediately begin
6 restarting the plant with confidence their eight hour restart time would not be
7 interrupted and production could be started immediately. Florida Power & Light's
8 service with single feed could be out hours before service is restored in the case of
9 an outage. If they had dual feed the outage could be reduced if the outage occurred
10 on the distribution line or substation but not on the transmission line.

11

12 Q. Does this conclude your direct testimony?

13 A. Yes it does at this time. I may have more comments after reviewing Florida Power
14 & Light responses to our discovery requests, reviewing depositions, and Florida
15 Power & Light's direct testimony.

16

17

18

19

20

21

22

23

24

25

1 Q (By Mr. Haswell) Mr. Dyal, would you give
2 us a summary of your testimony, please?

3 A Yes. Basically in the summary of my direct
4 testimony I want to talk about Clay's electric
5 facilities in Baker County, and specifically about the
6 facilities that we'll upgrade or add, and also the
7 economic and technical aspects of the generators. I'd
8 like to refer to the larger drawing, if I could.

9 (Witness moves to charts.)

10 Okay. All right. Referring to this, this
11 is just a map of Baker County, and we're showing in
12 red basically what has been the traditional service
13 area of Clay Electric. As you can see, we come up
14 through our Sanderson area, up across 90, and up in
15 the northern part. Also, serve some down below 90,
16 over around the Lake Butler Wildlife Management Area.

17 Traditionally we've served in Baker County
18 probably most of the largest land area of any utility.
19 A lot of Baker County is, as you know, Osceola
20 National Forest and water management-type areas; it
21 isn't, quote, "conversation" areas. And up into the
22 northern part here, the Okefenoke Rural Cooperative is
23 serving that. So it's kind of an overview there we
24 serve in the red.

25 If we can go to this other large map, I'll

1 go over the general electrical facilities we have.
2 Some of it is, I think, redundant; probably what
3 Mr. Hood has.

4 Let's go over it again, we're showing here
5 the property of River City Plastics. Basically you
6 can see our Sanderson substation, we do have a line, a
7 three-phase line, about two and a quarter miles up
8 Bill Davis Road. We had a single phase line across
9 Arnold Rhoden Road. We did serve back into this area
10 so we'll be rephasing this single phase. And then we
11 added some three-phase here (indicating). We went
12 about another about four-tenths from where our last
13 customer was, which we now have another one. We had
14 another customer come in adjacent to this. And then
15 we come to the entrance road and up into the property.

16 Just to quickly go over those in a nutshell,
17 broken down into testimony by phases. Phase 1 would be
18 the additions we'd have to do to our substation to
19 serve the existing or the proposed load. Our
20 Sanderson substation is 7500 KVA capacity substation.
21 The additional load, 2000 KVA approximately, would
22 push that load to around 8800 KVA. That's about a 20%
23 overload for the capacity of the station. For comfort
24 level we proposed to add fans to that transformer to
25 take it up to 10,500 KVA for a cost of 4500.

1 Phase 2, that feeder going north was
2 converted back in '87 to 25 kV operation. The
3 Sanderson sub as it stands right now is a 12 kV
4 station. We converted a feeder. In doing that we put
5 that feeder on a step-up transformer. The step-up
6 only has a capacity of 3750 KVA. Again, due to the
7 load we would add fans to that taking it to over 4600
8 KVA. Additional cost of the fans is about 1500.

9 Phase 3, or Part 3 of that is the feeder
10 line, three-phase feeder line No. 2, No. 4 ACSR, going
11 north out of the substation up to the tap point at
12 Arnold Rhoden Road. That's a No. 2 and No. 4
13 conductor. Its capacity is approximately 5600 KVA.
14 We would not propose any changes in that. It should
15 be adequate to meet the load.

16 Phase 4 is where we come across and begin
17 down Arnold Rhoden Road. We would have to rebuild
18 about six-tenths the single-phase line. That
19 single-phase line has been there since 1947, and we
20 would rebuild it to 1/0 ACSR, giving it a capacity of
21 8600 KVA that would cost approximately 30,000.

22 Phase 5 would be where we kind of tie across
23 from the end of that line back to where our last
24 customer is. It's about a quarter of a mile, and it
25 would be new 1/0 ACSR for 12,000.

1 And Phase 6 would be the new line from that
2 point across to the entrance road into the site and up
3 to the customer site, which would be a three-phase 1/0
4 for \$50,000. The total cost for our system
5 improvements would be about \$98,000 to serve this
6 customer.

7 Another part of our proposal to River City
8 Plastics was the use of the load management
9 generators. As I've noted, Clay Electric Cooperative
10 has been in the load management program since 1983.
11 It's been very active in the demand side management
12 and these load managing generators are just a
13 continuation of that program. We have been installing
14 the units since 1994 and we've offered these as a
15 result of the River City Plastics.

16 They felt this would provide them the
17 reliability which they needed in their manufacturing
18 process. Clay feels it's offering this as an
19 innovative service. It takes into account the unique
20 operational needs for backup as well as load
21 management for Clay and its customers, and clearly is
22 a superior method of providing the required service.

23 That's all I have.

24 MR. HASWELL: I tender the witness for
25 cross.

1 COMMISSIONER CLARK: Mr. Logan.

2 MR. LOGAN: Thank you, Commissioner.

3 CROSS EXAMINATION

4 BY MR. LOGAN:

5 Q Good afternoon Mr. Dyal.

6 A Good afternoon.

7 Q Mr. Dyal. I believe you've characterized
8 the service that FPL would offer River City as
9 standard three-phase service; isn't that correct?

10 A I think I referred to that at the time as
11 just their standard three-phase service. That was
12 prior to any discussion of backup, throwover, and all
13 that. This is the initial deposition.

14 Q I want to try and understand what
15 constitutes standard three-phase service, both for
16 Clay and for FP?

17 Would it be an accurate statement to say
18 that standard three-phase service is the -- as far as
19 Clay, is that \$98,000 figure that you've quoted which
20 is to run the service from your substation to the
21 customer's facility?

22 A Yes.

23 Q And the same would be true for FPL, would be
24 the cost of running from FPL's substation to that
25 facility?

1 A Yes.

2 Q And in both cases, for standard service,
3 that would entail an overhead feeder into the
4 facility, into the customer's facility?

5 A Yes.

6 Q Okay. So when you talk about the innovative
7 nature of Clay's proposal, that's solely based upon
8 the second element, which is the use of the
9 generators; is that correct?

10 A Yes.

11 Q Let me ask you a couple of questions about
12 the cost figure of \$98,000 for the standard
13 three-phase service. Does that cost figure include
14 the cost of a three-phase recloser with transformer?

15 A No. It includes the cost of the setting of
16 the pole and the framing for that.

17 Q But the recloser 's not included, or would
18 there be a recloser?

19 A The recloser was scheduled to go up above
20 Highway 90; we have a three-phase installation there
21 and it was scheduled to be upgraded to that. With the
22 advent of River City Plastics, because of their
23 special needs and trying reduce on the outages, we
24 opted to relocate that breaker station to just above
25 Arnold Rhoden Road. So the cost of setting up pole

1 and line, cutting that out and everything is included
2 there because that was an additional cost rather than
3 just changing out where it was at.

4 Q And what were the cost figures associated
5 with relocating that recloser?

6 A Setting the pole and cutting the dead end
7 in; probably somewhere in the neighborhood of about
8 \$1,000.

9 Q I'm sorry, 1,000?

10 A Yes.

11 Q But it's your testimony that the recloser
12 was already scheduled for installation somewhere else?

13 A Yes. Part of our normal course, we
14 constantly look at our reliability and what's going on
15 with our feeders. In a normal course situation like
16 this it's not unusual when you run into the outages,
17 some of the outages we saw here, frankly, were up
18 above the hydraulics, which is an indication that
19 their coordination wasn't going quite right through
20 the step-up. Part of the solution to that is we
21 changed the hydraulics out to electronic; improves the
22 time and your coordination and prevents the outage
23 from going back to the station when it should have
24 stayed up at the first line reclosed.

25 Q So is it your testimony then that the

1 recloser is not necessary as part of delivering the
2 three-phase service?

3 A Right. We would have done that irregardless
4 of River City Plastics.

5 Q Could you do it without, could you provide
6 that service without a reclosure?

7 A What --

8 Q Service to River City Plastics?

9 A Sure.

10 Q Would that have a impact on reliability for
11 the customer?

12 A Well, it would be as reliable as the data we
13 gave you. We're hoping to improve that data. That
14 was one reason we're changing the reclose. We're not
15 satisfied with reliability for existing customers.

16 Q What does that type of equipment, a
17 recloser, what does that run in cost in ballpark
18 figure?

19 A The recloser itself?

20 Q Yes, sir.

21 A Approximately 10,000.

22 Q Now, there was also some temporary
23 construction, I think, included in Phase 6 of this
24 project; is that correct?

25 A We have about two or three spans of single

1 phase over the construction trailers.

2 Q Okay. Were costs -- in the 98,000 figure,
3 were costs included for all of the poles associated
4 with that temporary construction?

5 A You're talking about not the last two or
6 three poles.

7 Q Poles 12 through 14?

8 A They will be pulled back out and reused as
9 salvage.

10 Q How about the labor associated with --

11 A The labor was included.

12 Q Mr. Dyal, can you turn to your prefiled
13 direct testimony, on Page 6? You have that in front
14 of you?

15 A Yes.

16 Q Thank you. And on Line 6 can you read for
17 me the three sentences that begin with -- on that
18 line?

19 A Starting with "His major concern"?

20 Q Yes, sir.

21 A "His major concern is during times of
22 intense storm weather. It is during these storms that
23 he expects to experience outages as has occurred
24 numerous times at his plant in Duval County. An
25 outage to River City Plastics is any interruption of

1 electricity of over 12-18 cycles."

2 Q So that was information given to you by
3 River City Plastics?

4 A Yes.

5 Q And that was 12 to 18 cycles is what causes
6 an interruption to their operations?

7 A Yeah. And I might note when he talks -- and
8 I think Stafford answered that in his testimony, that
9 that's -- basically at least half his plant shuts
10 down. He can have problems with less than that, but
11 what he considers to be, quote, "an outage" where he
12 loses at least half or more of his production is in
13 that 12 to 18 cycles.

14 Q But he definid an outage to you as
15 interruption over 12 to 18 cycles; is that correct?

16 A Who?

17 Q He -- I assume Mr. McCartney or someone from
18 River City Plastics?

19 A Yes.

20 Q Mr. Dyal, do you have your responses, Clay's
21 responses to FPL's interrogatory, and specifically
22 Interrogatory No. 12?

23 A Not on me. (Hands document to witness.)

24 Q Mr. Dyal, are you familiar with that
25 document?

1 A Yes.

2 Q And is that Clay's indication of the number
3 of outages at the Sanderson substation during the last
4 three years?

5 A To the best of our records, yes.

6 Q And specifically it's for feeder No. 3?

7 A Yes. Feeder 3.

8 Q Now, using the definition that you provided
9 in your direct testimony, that an outage is anything
10 over 12 to 18 cycles.

11 A That was for River City Plastics.

12 Q That's correct.

13 A Okay.

14 Q Okay. But using that definition, and
15 assuming that River City Plastics were Clay's
16 customers, and that the generators were in place that
17 you propose, I want you to tell me -- let's start at
18 the top of that chart -- in each of these occurrence
19 whether River City Plastics would experience an outage
20 that would affect their production lines?

21 So for October 2nd, 1994, when there was a
22 broken insulator, would River City experience that
23 outage?

24 A Yes.

25 Q The next one, the failed transformer, would

1 they experience that outage?

2 A Yes.

3 Q The next one, the opened to remove failed
4 line regulator?

5 A Yes.

6 Q The unknown for a hour of March 19 --

7 A Yes.

8 Q Tree on a line for June 16, 1996?

9 A Yes.

10 Q Storm damage, May 24th, 1997?

11 A Yes.

12 Q Now, there's also 23 momentary interruptions
13 that are indicated of unknown cause. Would those have
14 been experienced by River City Plastics in that
15 situation?

16 A Yes.

17 Q So for each of those interruptions, River
18 City Plastics would have experienced an outage at
19 their facility?

20 A Yes.

21 Q And that would have impacted production; is
22 that correct?

23 A That's my understanding.

24 Q Now, have you had a chance to review the
25 specific indications that were contained in the

1 late-filed exhibit of Mr. Brill that deal with FPL's
2 automatic throwover switch?

3 A Yes, to the extent that we submit it, yes.

4 Q And do you understand the parameters or
5 specifications for that switch?

6 A To the extent that they are offered.

7 Q I'm sorry, to the extent that they are --

8 A It's only a technical specification sheet.
9 I haven't seen test data that we requested, so I'm
10 only speculating that the spec -- technical sheet he
11 gave me is true.

12 Q Okay.

13 A I'm not committing to that.

14 Q Okay. So assuming that that specification
15 sheet is accurate, you're famil'ar with the time and
16 cycles that that switch would operate?

17 A Purported to operate, yes.

18 Q Okay. Again assuming those specs --

19 A Purported, yes.

20 Q Wouldn't that be in a time of nine cycles
21 plus or minus one?

22 A I'm assuming here again; I haven't seen
23 anything other that says what mode they are operating
24 in. If you were operating in the other mode, I guess
25 bypass mode -- or non-bypass it would not.

1 Q But if it was in the bypass mode.

2 A I don't know. You tell me.

3 Q But based upon that document --

4 A There's a lot of assumptions.

5 Q Do you have any reason not to --

6 A Yes.

7 Q And what is that?

8 A Present technology, I guess, does not
9 preclude a switch will do that. I have not been able
10 to analyze that switch. It's a proprietary switch of
11 FPL's; have not been able to obtain data; not been
12 able to obtain test data, so I really can't speak as
13 to whether that switch will do that. I know most
14 commercially available switches will not do that.

15 Q But you have no other means for suggesting
16 that this switch would not perform as indicated on
17 those specification sheets; is that correct?

18 A Well, yeah. I have serious doubts, yes, if
19 that's what you're asking me. As a professional
20 engineer I have serious doubts the switch will work,
21 yes.

22 Q Assuming the switch will operate based upon
23 the specifications provided by the manufacturer, which
24 would provide a switchover from one feeder to another
25 feeder in the event a -- anything that would be in the

1 range of nine cycles plus or minus one, that's the
2 specification; is that correct?

3 A That's what the technical specifications
4 say.

5 Q Okay. Using those specifications, we can go
6 back to Interrogatory No. 12, can you tell me for each
7 of these events would River City Plastics, if that
8 switch were employed with a dual feed service, would
9 River City Plastics experience an outage under those
10 circumstances?

11 A There's a lot of assumptions there, you
12 know.

13 Q Well, let's walk through them. How about
14 October 2nd, 1994, a broken insulator?

15 A If the throwover switch is on FPL's line and
16 this is on mine line, no. it wouldn't. What do you
17 mean?

18 Q Here's the assumption; that FPL is providing
19 service to River City Plastics --

20 A Okay.

21 Q -- as contemplated and discussed in the
22 prefiled testimony. In other words, there are two
23 feeds with this Whipp & Bourne automatic transfer
24 switch installed and operational. Under those
25 circumstances, if there had been a broken insulator on

1 FPL's equipment, would River City Plastics experience
2 an outage under those circumstances?

3 A Here, again, if you're making the assumption
4 that the switch works, what I'm not agreeing to at
5 all.

6 Q Right. I understand.

7 A If you take just on face value that it's
8 operating in a what, non-bypass -- bypass mode?

9 Q Correct.

10 A In a bypass mode and it switches to eight to
11 ten cycles, then he would not have quote, "an outage."

12 Q Okay.

13 A He could very well have lost production but
14 not an outage.

15 Q The last part I missed --

16 A He could very well have lost production but
17 not necessarily what is considered to be an outage.

18 Q As they defined it to you?

19 A Right.

20 Q Now, for the next line, a failed
21 transformer?

22 A Same answer, all of them; save you sometime
23 here.

24 Q Okay.

25 A They would all be the same thing.

1 Q For each of these. And for the momentary
2 interruptions as well?

3 A Well, it depends on what caused momentary,
4 but since everything is so philosophical here anyway
5 I'll say yes.

6 Q Given that philosophical and hypothetical
7 situation then, in each of those circumstances River
8 City Plastics would not have experienced an outage; is
9 that correct?

10 A Philosophically, right.

11 COMMISSIONER CLARK: I'm sorry, Mr. Dyal,
12 will you tell me again what River City Plastics defined
13 as what kind of interruption would cause interruption
14 in their production?

15 WITNESS DYAL: My understanding, and it may
16 be much better to ask Mr. McCartney, it's his plant --
17 but my understanding, if he has an interruption of 12
18 to 18 cycles, he will lose service to at least half or
19 more of his production lines.

20 COMMISSIONER CLARK: Okay. And I thought
21 the switch was supposed to change in eight cycles.

22 WITNESS DYAL: I guess that's what I'm
23 telling them. They say that, but since it's a
24 proprietary switch and not commercially available, I'm
25 not able to --

1 **COMMISSIONER CLARK:** Okay. What I want to
2 know is if it makes the switch in the time it says it
3 can, then there's no interruption of production, is
4 there?

5 **WITNESS DYAL:** I can't say that, no.

6 **COMMISSIONER CLARK:** Well, given the
7 parameters of what the customer said and what the
8 switch says it will do, if both are correct
9 parameters, then a glitch will not occur in his
10 production; is that correct?

11 **WITNESS DYAL:** He will not lose over half
12 his lines, half of his production lines.

13 **COMMISSIONER CLARK:** Okay.

14 **Q** **(By Mr. Logan)** Mr. Dyal, with respect to
15 that last statement, is there anything concerning the
16 statement of how many of River City Plastics lines
17 would be affected in a circumstance -- I assume
18 something less than 12 to 18 cycles in your direct
19 testimony.

20 **A** No.

21 **Q** Is there anything in your rebuttal testimony
22 about that?

23 **A** I don't know that we talked that much about
24 it. It just came through Stafford's rebuttal.

25 **Q** Okay. Mr. Dyal, what causes momentary

1 outages?

2 A Wind, rain, lightning, squirrels, I mean
3 all --

4 Q Isn't it true that it's your understanding
5 that the configuration that River City Plastics will
6 operate under will allow them to anticipate the
7 occurrence of momentary interruptions that are weather
8 related?

9 A My understanding what they plan to do or
10 hope to do is anticipate the intense weather
11 related-type momentaries.

12 Q So they would, if there is approaching -- an
13 approaching thunderstorm or cell of thunderstorms,
14 isn't it true that their plan would be to disengage
15 their system from the clay grid, fire up the
16 generators and operate independently of Clay until
17 such time that event has passed?

18 A Yes.

19 Q Now, would they be able to anticipate
20 interruptions other than weather related in that
21 fashion?

22 A No.

23 Q So as far as trees falling or squirrels or
24 anything like that, they would not be able to operate
25 in that mode?

1 A No.

2 Q And those are common occurrences for
3 momentary interruptions?

4 A Common, yes.

5 Q Now -- and in each of those circumstances
6 River City Plastics, under Clay's scenario of using
7 generators in that fashion, they would still
8 experience a interruption to their production process?

9 A Yes.

10 Q Now, again, back to our philosophical
11 hypothetical, using FPL's proposed service with that
12 throwover switch, in those circumstances, specifically
13 a squirrel on a line or an outage from a tree or
14 something else, would River City experience an outage?

15 A Philosophically, no.

16 Q Mr. Dyal, in what circumstances does Clay
17 Electric Cooperative go into a load management
18 scenario?

19 A At the request of our power supplier,
20 Seminole Electric Cooperative.

21 Q So they initiate a call to you saying they
22 are going to go -- they want you to go into a specific
23 load management scenario, or --

24 A Typically they will call in and say, "Yeah,
25 we're going to try to control load today" and they set

1 some load levels that they try to control.

2 Q Now, will Seminole Electric be aware when
3 Clay determines that they are going to bring
4 generators, such as those proposed to be used at River
5 City and other facilities that exist, when those
6 generators are going to come on line?

7 A Yes. They will view anything in our load
8 management program we will put into place and operate.

9 Q They would specifically know that you're
10 going to bring those generator on line?

11 A They know we bring the generators on line,
12 yes.

13 Q And as far as the engineering, the
14 configuration of those generators, does that involve a
15 switch between the Clay's distribution system and the
16 generation facilities themselves?

17 A Yes.

18 Q Will that switch operate in parallel at any
19 time?

20 A Yes.

21 Q That would be during the time the generator
22 are brought on line?

23 A It can be during the time they are brought
24 on line or while we're actually in load management.

25 We do not as a, matter of course, separate.

1 Q Now, Clay's distribution system is tied into
2 FPL's transmission system; is that correct?

3 A At the Sanderson substation, yes.

4 Q And that's -- that is also employed by
5 Seminole Electric to deliver power to Clay, is that --

6 A My understanding.

7 Q So that transmission grid is really kind of
8 a Seminole-FPL transmission grid?

9 A My understanding.

10 Q At the point that Clay interconnects into
11 that system?

12 A Right.

13 COMMISSIONER CLARK: Mr. Logan, did you want
14 this Interrogatory No. 12 to be an exhibit?

15 MR. LOGAN: No, ma'am, I think Staff is
16 going to move that.

17 Q (By Mr. Logan) Mr. Dyal, did I give you a
18 copy of that?

19 A Yes.

20 Q Okay. I'm sorry. (Hands document to
21 witness.)

22 Mr. Dyal, could you take a look at the
23 document I've just handed you then tell me if you've
24 ever seen that document before?

25 A Yes.

1 Q Oh, you have. Okay. Can you turn -- can
2 you tell me what that document is?

3 A It's the Aggregate Billing Partial
4 Requirements Service Agreement between Florida Power
5 and Light and Seminole Electric Cooperative.

6 Q And you're familiar with that document?

7 A I've seen it. Read it. I mean -- I didn't
8 design it. It's not -- you know.

9 MR. LOGAN: Commissioner Clark, I'd like to
10 mark that for identification purposes.

11 COMMISSIONER CLARK: Exhibit FPL Cross
12 Examination Exhibit of Herman Dyal, which is the
13 Aggregate Billing Partial Requirements Service
14 Agreement Between FPL and Seminole Electric will be
15 marked as Exhibit 10.

16 (Exhibit 10 marked for identification.)

17 MR. LOGAN: Thank you.

18 Q (By Mr. Logan) Mr. Dyal, can you turn to
19 Page 14 of that contract, and specifically Article 11.
20 Have you found that part of the contract, Mr. Dyal?

21 A Yes.

22 Q Okay. And that's entitled "Parallel
23 Operation"; is that correct?

24 A Yes.

25 Q Are you familiar with that article?

1 A Yes.

2 Q Does that article require Seminole and/cr
3 Clay to seek FPL's permission before bringing any
4 generation point on line which will operate in
5 parallel with its system?

6 A We did advise Seminole of our load
7 management program with the load management
8 generators. They are aware of this program and they
9 approved it.

10 Q I'm sorry, and they approved it?

11 A They approved it. Yes.

12 Q You said with respect to the program itself.
13 How about with respect to the proposal for River City
14 Plastics?

15 A We have not at this point carried River City
16 Plastics, but we have given all the previous units
17 that we had, yes.

18 Q So Clay has not contacted FPL with respect
19 to this provision?

20 A We have no obligation to contact FPL.

21 Q But you have an obligation to contact
22 Seminole?

23 A And we did.

24 Q Have either Clay or Seminole performed any
25 engineering studies with respect to the River City

1 Plastics proposal which would determine what is needed
2 in the event of a backflow of electricity from this
3 generate point?

4 A The units are set up to operate with zero
5 backflow.

6 Q I take it you have not reviewed any of the
7 engineering information with either Seminole Electric
8 Cooperative or FPL?

9 A We have with Seminole.

10 Q You have reviewed the specifics of the River
11 City Plastics?

12 A Oh, no, no, I'm sorry. I thought you meant
13 the generators in general.

14 Q Okay. So that with respect to the
15 particular type of generator, you've reviewed that
16 with Seminole Electric?

17 A We have reviewed it with them in the past.
18 It's there. If they want to come look at it we offer
19 to make it available to them. They've not availed
20 themselves to do that. It's their prerogative.

21 Q Is it possible that there could be
22 engineering concerns with respect to the potential for
23 backflow into FPL's transmission system?

24 A We don't feel there is.

25 Q But you haven't reviewed that with Florida

1 Power and Light, have you?

2 A I have no obligation to do it with Florida
3 Power and Light.

4 Q And do you know if Seminole has reviewed it
5 with Florida Power and Light?

6 A I have no idea.

7 Q Thank you. Mr. Dyal, tell me, where, with
8 respect to the generation point, will the meter be for
9 Clay -- I mean will the generation point be before or
10 after the meter for this proposed facility?

11 A It will be before the meter.

12 Q Are you familiar with Spartan Electronics?

13 A Yes.

14 Q They are on a load management program as
15 well?

16 A Right.

17 Q Are they a manufacturing facility?

18 A I don't know if they are a manufacturing or
19 just rebuilding, but similar, I guess.

20 Q Do you know if they receive a
21 generator credit from Clay Electric?

22 A They do not.

23 Q Mr. Dyal, I have a couple of questions in
24 response, I guess, to supplemental responses to FPL
25 Interrogatory No. 32. Are you familiar with those

1 supplemental responses?

2 A I'm sure I am. I'd like to see them.

3 Q Did you prepare those responses?

4 A Let me see it and I'll tell you. I probably
5 did but I'll, you know --

6 Q Bear with us and we'll get you extra copy.

7 A All right.

8 Q While we're waiting for that, let me talk
9 about the substation that will serve the River City
10 Plastics facility.

11 It's your testimony that the only changes to
12 that substation currently required are the addition of
13 cooling fans; is that correct?

14 A Right, to the power transformer.

15 Q Now, in the event of additional customers at
16 the industrial site, would there have to be any
17 additional changes to the substation itself?

18 A Are you speaking in reference to No. 32, are
19 you speaking in general, or what?

20 Q Yes. This is your supplemental reponse to
21 Interrogatory 32?

22 A For that specific load, the 2,000.

23 Q Assuming that load there would be some
24 changes?

25 A There would not be any required in the

1 substation itself, no.

2 Q Now, there's a step-up transformer that's
3 located close to that substation?

4 A Right, the step-up transformer.

5 Q There would have to be some changes to that?

6 A Right.

7 Q Can you tell me, and I guess that's --

8 A Phase 2.

9 Q -- Phase 2, what is entailed in those
10 changes to serve additional load?

11 A Basically I stated that particular feeder --
12 the station itself is a 12.5 feeder, it's a -- I'm
13 sorry, 12 kV substation. So it's scheduled to be
14 converted to 25 kV operation at which time we
15 basically build another substation. Depending on
16 exactly when that occurs, if that load comes in
17 tomorrow afternoon, then obviously we'd have to
18 parallel them, and that's what Phase 2 is. If it's
19 down the road, like this, another 20 years, the
20 station would probably be converted to 25 kV, and the
21 step-ups would be removed and it would not be there.

22 But I did this on the basis that we had not
23 convert and it is where it is right now. So what we
24 would do is parallel -- right now there's one 3750
25 there that we upgraded to 4680, and we would parallel

1 3750 with it, a capacity around 8,000 or so.

2 Q And in your response you mention that if you
3 were to bring in a new transformer it would come from
4 your stock, which I assume that's existing stock?

5 A We, as part of our conversion program, you
6 know, have 10 or 15 of these 3750s that are moved in
7 and out of the system. Just like these units, the one
8 that's there now, we fully intend to retire it and
9 move it somewhere else. It's moved across the system.
10 Any step-up we would put in in any station is
11 basically a temporary in our conversion program. So
12 I'm assuming what you're getting to, the cost to do
13 that is not there and that's true. Because that unit
14 would be salvaged back and moved back to another place
15 as part of our ongoing conversion program.

16 Q So you wouldn't assign a cost to that?

17 A In other words, we're not going to buy a
18 unit specifically for that and one that when we
19 convert it we junk it. It's just units that we have
20 that continually move around our system as part of our
21 conversion program.

22 Q So although there is a required piece of
23 equipment that would have to be transferred into the
24 facility, because you've already purchased it you're
25 assigning a value of zero to that?

1 A Also because it's part of our ongoing
2 conversion program and it will be reused as part of
3 our other ongoing projects. It doesn't become a
4 permanent part of that station; it doesn't become --

5 **COMMISSIONER CLARK:** I'm afraid I don't
6 understand. It does or doesn't become a part of that
7 station?

8 **WITNESS DYAL:** It becomes part of the
9 station temporarily, I guess is what we're saying. In
10 order -- as we convert the station from 12 to 25, and
11 that's an ongoing program we have to convert our
12 entire system to 25 kV operation. So we've got -- I
13 don't know probably 10 to 15 of these units that are
14 constantly revolving around the system. As we put it
15 on a feeder, we'll use it, and as we convert the
16 station, and convert the station 25, we'll retire that
17 out, take it to another feeder and another substation
18 and it will go through that process. We have been in
19 that process for 20 years and expect to be in it for
20 another 20 years.

21 **COMMISSIONER CLARK:** I'm afraid I still
22 don't understand.

23 When -- you convert it from what to what?

24 **WITNESS DYAL:** The station operates at
25 12 kV.

1 **COMMISSIONER CLARK:** Uh-huh.

2 **WITNESS DYAL:** We reinsulated the circuit to
3 operate at 25 kv.

4 **COMMISSIONER CLARK:** Okay.

5 **WITNESS DYAL:** To step up the station
6 voltage to the line voltage it will operate at we put
7 this step-up in there. It merely steps the voltage up
8 from 12 to 25.

9 **COMMISSIONER CLARK:** All right.

10 **WITNESS DYAL:** And it will remain there
11 until we convert the station to 25 kv operation.

12 **COMMISSIONER CLARK:** Oh, I see.

13 **WITNESS DYAL:** It will be the same voltage
14 as the line and we'll pull that step-up out --

15 **COMMISSIONER CLARK:** Got you. All right.

16 Thank you.

17 **WITNESS DYAL:** Sure.

18 **MR. LOGAN:** Commissioners, if you'll give me
19 just a second.

20 No further questions.

21 **COMMISSIONER CLARK:** Staff.

22 **CROSS EXAMINATION**

23 **BY MS. JAYE:**

24 **Q** Good afternoon, Mr. Dyal.

25 **A** Hello.

1 **MS. JAYE:** Staff is going to be presenting
2 some exhibits. We have them in a bundle. There will
3 be nine of these. (Hands out documents.)

4 **Q** Mr. Dyal, if you would, take a look at the
5 top exhibit. It consists of a map and Clay's response
6 to Staff's First Request for Production of Documents,
7 1 through 6, some papers there are stapled together.
8 Are you familiar with these documents?

9 **A** Yes.

10 **Q** Is this map true and accurate to the best of
11 your knowledge and belief?

12 **A** Yes.

13 **Q** Could you tell me what this map illustrates?

14 **A** It shows the areas in Baker County where we
15 have facilities.

16 **Q** Does this map indicate that Clay is serving
17 customers to the north of FPL's Wiremill substation?

18 **A** Yes.

19 **Q** How many customers are there approximately?

20 **A** You know, I'd have to -- try it a little
21 closer. You're talking about everything north? I
22 don't really know quit how to answer that. Sitting
23 here counting all of them.

24 **MR. HASWELL:** Excuse me, if I could ask the
25 question, are you referring to the key map and the

1 maps that are shown on the key map?

2 MS. JAYE: It would be Map E.

3 Q (By Ms. Jaye) Mr. Dyal, if you wouldn't
4 mind, I'd appreciate you pointing out approximately
5 where these customers are located on the photographic
6 map that is up there as sort of a demonstrative
7 exhibit.

8 A Okay. Here again, I'm assuming you're
9 looking at E talking about these are north.

10 Q Yes.

11 A Well --

12 COMMISSIONER CLARK: Mr. Dyal, why don't you
13 take that microphone.

14 WITNESS DYAL: Oh, I'm sorry.

15 If you come across Arnold Rhoden Road to the
16 plant site, there's a road that goes north from Arnold
17 Rhoden, and we have a single-phase line that goes up
18 that road and serves customers all in this area here.
19 (Indicating) I'm guessing there's 15 -- that's a
20 guess. I could count the houses, I guess.

21 Q That's fine. We just wanted to know as far
22 as the immediacy of the area that was being served,
23 whether it was actually to the north. Thank you.

24 Mr. Dyal, could you tell me what type of
25 service, for example, a single or a dual phase, does

1 Clay provide to these customers that you just pointed
2 out?

3 A I'm sorry, what?

4 Q What type of service is provided to those
5 customers that you just pointed out that are to the
6 north?

7 A Single phase, and I think most of them are
8 residential.

9 Q In what year did Clay install the Sanderson
10 substation?

11 A I believe '76. I think it's in a exhibit.
12 I believe '76.

13 Q And what area was the Sanderson substation
14 originally intended to serve?

15 A Well, the area I showed you in red is
16 basically the area we've historically served. As I
17 said, along Arnold Rhoden Road we had a line since
18 '47, so --

19 Q Was the development of the industrial park
20 in Baker County contemplated when Clay built the
21 Sanderson substation?

22 A In '76? Probably not.

23 Q Could you tell me when was Clay aware that
24 FPL was building the Wiremill substation in 1976?

25 A I wasn't there so I guess in '76 when it was

1 built, I don't know.

2 Q Do you know if Clay protested the existence
3 of the Wiremill substation as uneconomic duplication
4 of existing electrical facilities?

5 A I wasn't there. I don't know.

6 Q All right. If you could turn to the next
7 exhibit in your packet, it will be FPL's
8 interrogatories --

9 COMMISSIONER CLARK: Ms. Jaye, let's take a
10 moment and -- should we go through and identify this
11 as exhibits?

12 MS. JAYE: Yes, we can do that, or we can do
13 them as a composite. Either way.

14 COMMISSIONER CLARK: Let's go ahead and do
15 it as a composite but let's name what's in there.

16 MS. JAYE: Okay, very good.

17 COMMISSIONER CLARK: First thing I is
18 Staff's First Request for Production of Documents to
19 Clay Electric Cooperative, Nos. 1 through 6.

20 MS. JAYE: Yes, ma'am.

21 COMMISSIONER CLARK: What is the next one?

22 MS. JAYE: The next one would Clay's Answers
23 to FPL's First Set of Interrogatories, 5, 6, 8, 12 and
24 15.

25 COMMISSIONER CLARK: All right. I have that

1 one.

2 MS. JAYE: Third one will be Actual Numbers
3 to Arrive at Cost. Late-filed Exhibit 10.

4 COMMISSIONER CLARK: All right. I have that
5 one.

6 MS. JAYE: Next one will be Clay's Answers
7 to FPL's Third Set of Interrogatories, No. 32.

8 WITNESS DYAL: I don't --

9 COMMISSIONER CLARK: I have that. Do all of
10 the parties have that?

11 WITNESS DYAL: I think I'm missing one
12 before that. Did you say there was a late-filed
13 Exhibit 10?

14 MS. JAYE: Yes. Actual Numbers to Arrive at
15 Cost.

16 WITNESS DYAL: I have a 9. (Pause)

17 MS. JAYE: We're getting that for you,
18 Mr. Dyal.

19 Q (By Ms. Jaye) The next exhibit then, after
20 Clay's Answers to FPL's Third Set of Interrogatories
21 No. 32, would be Late-filed Deposition Exhibit 9,
22 Labor, Materials and Overhead for Service to River
23 City Plastics.

24 Continuing on, Late-filed Exhibit 12,
25 Statistics on Clay's Substations.

1 The next one, Clay's Response to FPL's
2 Second Interrogatory, 16 and 20.

3 Late-filed Exhibit 5. This is from
4 Mr. Dyal's deposition, Cost Estimate River City
5 Plastics Generator Installation.

6 And the last one is Clay's --

7 WITNESS DYAL: Excuse me, I'm sorry. I
8 don't have that one either. Wait a minute. Whoa,
9 wait a minute. I do, I'm sorry. Excuse me.

10 MS. JAYE: Last one is Clay's Response to
11 Staff's First Set of Interrogatories, 1 through 15.

12 COMMISSIONER CLARK: We will mark the series
13 of discovery documents that Staff has just enumerated
14 as Composite Exhibit 11.

15 MS. JAYE: Thank you, Commissioner.

16 (Exhibit 11 marked for identification.)

17 Q (By Ms. Jaye) If you'd turn to the second
18 document in that stack, this would be Clay's Response
19 to FPL's Interrogatories 5, 6, 8, 12 and 15. Do you
20 recognize this document?

21 A Yes.

22 Q Is the information in this document true and
23 correct to the best of your knowledge and belief?

24 A Yes.

25 Q Would you say that the type of load served

1 from of the Sanderson substation is mostly a
2 rural/residential type of load?

3 A Yes.

4 Q If you look at Interrogatory 12, would you
5 indicate which of these outages probably originated on
6 the transmission line leading into the substation?

7 A This was only for the substations. It was
8 not --

9 Q This would be the same Interrogatory No. 12
10 that Mr. Logan went over earlier?

11 A Yes.

12 Q And all of these you say originated with the
13 substation itself; none of these on the transmission
14 line leading into the substation?

15 A Right. Yes.

16 COMMISSIONER CLARK: I'm sorry. Ask that
17 question again?

18 MS. JAYE: Yes. My question was if any of
19 the outages listed in Interrogatory 12 and the table
20 originated on the transmission line leading into the
21 Sanderson substation, or if they were all originating
22 at the substation itself.

23 COMMISSIONER CLARK: Wait a minute. The
24 answer says "No outages of the Sanderson substation
25 during the last three years." I understand it to be

1 the feeder out of it.

2 **WITNESS DYAL:** That's what I assume she's
3 talking about. These affected the substation. It
4 took the feeder breaker out in the Sanderson
5 substation. The station itself, which would have been
6 back to what she was talking about if I had a
7 transmission outage, I would have lost the whole
8 stagation. So basically the answer is no, I didn't.
9 Okay.

10 **Q** (By Ms. Jaye) Now, Mr. Dyal if you would
11 look at your Late-filed Deposition Exhibit 10. Tell
12 me, did you prepare this document or have it prepared
13 under your direction?

14 **A** I had it prepared under my direction.

15 **Q** To the best of your knowledge is this
16 information true and accurate?

17 **A** Yes.

18 **Q** Does this information show the expected
19 customer load and energy growth within what you
20 consider the disputed area?

21 **A** Yes.

22 **Q** What are the expected load and energy growth
23 estimates in the disputed area according to this
24 exhibit?

25 **A** It's the load to the customer itself. The

1 1900 kW per month, and then its energy requirements of
2 1,154,190, Column 4 and 5.

3 Q Now, if you would take a look at your answer
4 to Interrogatory 32, Clay's answer to Interrogatory
5 32, could you tell me if you recognize this document?

6 A Yes.

7 Q To the best of your knowledge and belief is
8 this information true and correct?

9 A We have filed an additional 32, so I'm not
10 sure which one you're talking about here.

11 Q Would the additional 32 supersede the
12 original?

13 A Yes.

14 Q Okay. The addition then would be what we
15 should speak about. And could you tell me if the
16 supplementary answer to Interrogatory 32 attached to
17 this exhibit would lead to a change in Clay's response
18 to this answer -- to this question, rather?

19 COMMISSIONER CLARK: Can you read it?

20 A No, I'm sorry, it's not attached.

21 Q It's not attached. What is not attached?

22 A Well, I think she's referring to what is
23 attached to this here and that's not the new 32, so
24 I'm -- not sure where we're at here.

25 COMMISSIONER CLARK: I'm sorry. Some of the

1 last pages of my 32, I can't read them. They are not
2 reproduced -- you can't read everything.

3 MS. JAYE: Just a moment, please.

4 WITNESS DYAL: This is it right here, that's
5 32. (Indicating) (Pause)

6 MS. JAYE: We'll move on while we're trying
7 to locate the original of that fax. It was not a good
8 quality fax to begin with, so as we try to locate that
9 we'll move on.

10 WITNESS DYAL: In fairness, I'm not sure
11 that that fax -- I do think it's part of 32 but it's
12 not the entire 32.

13 Q (By Ms. Jaye) That's all we received as a
14 supplemental to -- answer to question 32.

15 A Mark --

16 COMMISSIONER CLARK: Ms. Jaye, let me ask
17 you a question. How much more do you have?

18 MS. JAYE: Quite a bit.

19 COMMISSIONER CLARK: We'll take ten-minute
20 break, and if you would, straighten this out.

21 MS. JAYE: Yes, Commissioner. Thank you.

22 COMMISSIONER CLARK: We'll be back at 2:30.

23 (Brief recess taken.)

24 - - - - -

25

1 **COMMISSIONER CLARK:** Go back to the record.

2 **MS. JAYE:** I'd like to substitute the new
3 pages that have been passed out. I have Exhibit 2, at
4 the bottom, Clay Electric Cooperative Incorporated,
5 Job Estimate at the top. I'd like to substitute these
6 for the poor copies we had attached to exhibit --

7 **COMMISSIONER CLARK:** It's part of 32, is
8 that right?

9 **MS. JAYE:** Yes, ma'am.

10 **COMMISSIONER CLARK:** All right.

11 **MS. JAYE:** That goes in place of the poor
12 copies that were attached to No. 32.

13 **COMMISSIONER CLARK:** Thank you.

14 **Q** **(By Ms. Jaye)** My question for you,
15 Mr. Dyal, would be please explain what these responses
16 mean on the fresh copy that has been handed out with
17 the exhibit at the bottom of it and appended to the
18 answer to Interrogatory No. 32.

19 **A** No. 32.

20 **Q** Yes, sir.

21 **A** What do you want explained? I'm sorry.

22 **Q** What are these numbers in response to? What
23 do they mean?

24 **A** You want the \$49,810.

25 **Q** All of the numbers. Material costs, labor

1 costs, overhead cost, and the total cost less salvage
2 at the bottom of the right-hand column. How do they
3 all compute?

4 A Okay. It's referred to -- I guess I don't
5 know if you still don't have all of it, so there's
6 called a Phase 3 is where we would reconductor --
7 basically what the 49,810 is the reconductor of the
8 line, basically it's about 1.85 miles of line going up
9 Bill Davis Road. It's the reconductor of that section
10 of line. If you look back, there's a description. I
11 guess you still don't have all of our answer to 32.

12 Q That's all right. We can keep going.

13 Is there sufficient real estate within the
14 Sanderson substation to site the additional facilities
15 if they are required?

16 A The paralleling of the step-up, yes.

17 Q Yes, sir. Does Clay have any potential
18 customers along the nearly four mile long route from
19 the Sanderson substation to the River City Plastics
20 facility who would require service from Clay if Clay
21 is awarded service to the territory in dispute?

22 A Do I have any active? I don't have any
23 active.

24 Q Potential customers?

25 A I don't have any active potential customers

1 either, I guess. I mean there's open land and there's
2 places for customers to move in, but I don't have any
3 right offhand.

4 Q When did Clay Electric become aware of Baker
5 County plant and industrial park in the vicinity of
6 the currently disputed area?

7 A Mr. Barrow would know that better than I. I
8 don't keep up with that stuff. I'm an engineer.

9 Q What actions did Clay take to upgrade its
10 Sanderson substation when it learned of the creation
11 of the industrial park?

12 A I'm sorry, say it again.

13 Q What actions did Clay take to upgrade its
14 Sanderson substation when it learned of the creation
15 of the industrial park in Baker County?

16 A Nothing.

17 Q Mr. Dyal, if you'd turn to your Late-filed
18 Deposition Exhibit 9, Labor, Materials and Overhead
19 for Service to River City Plastics. Could you tell me
20 if you've seen this document before?

21 A Yes.

22 Q Is the information in this exhibit true and
23 accurate to the best of your knowledge and belief?

24 A Yes.

25 Q I'd ask you then to look at your Late-filed

1 Deposition Exhibit 12, Statistics on Clay's

2 Substations. Have you seen this document before?

3 A Yes.

4 Q Is the information this document contains
5 true and accurate to the best of your knowledge and
6 belief?

7 A Yes.

8 Q Would you explain the difference between
9 load indicated in MVA and load indicated in kW as
10 shown in this exhibit?

11 A The capacity MVA, the third column?

12 Q Yes.

13 A That's the capacity of the substation. The
14 subload kW is the peak load on that substation that
15 it's actually experienced.

16 Q And could you compare the 15 MVA capacity of
17 the Farnsworth substation to the substation load of
18 14.160? How much reserve margin is that?

19 A 840 kW, unless you overload the unit, I
20 mean --

21 Q Mr. Dyal, would you take a look at Clay's
22 reponse to FPL's Interrogatory 16 and 20, please, tell
23 me if you recognize that document?

24 A Yes, I do.

25 Q Are the answers contained in that document

1 true and correct to the best of your knowledge?

2 A Yes.

3 Q If you would look at answer 16B, would you
4 agree that if Clay provided the data in response to
5 this question, there would be little or no argument
6 regarding the relative reliability of single feeds
7 with on-site generation compared with a dual feed
8 service without on-site generation from the
9 perspective of the electric service provider?

10 A I thought that we did answer B, and here
11 again another late-filed, 16-B, C, D.

12 Q Could you and the question in any case?

13 A I'll find it, I'll answer it. (Pause)

14 In 16-B, there's like five items that are
15 noted in that. Do you want me to just read them?

16 Q Yes, if you could just answer the question.
17 All it would take would be a yes or no.

18 A That's not what I have so I guess you need
19 to ask the question again.

20 Q Okay. Let me ask it again, maybe I could go
21 slow enough where you could pick up what it is that
22 I'm getting at here.

23 Would you agree looking at 16-B, that if
24 Clay provided the data in response to this question,
25 there would be little or no argument regarding the

1 relative reliability of a single feed with on-site
2 generation compared with a dual feed service without
3 on-site generation from the perspective of the
4 electric service provider?

5 A I don't know. I mean, no, I can't agree, I
6 guess; if you're looking for a yes or no I can't
7 agree. They are two totally different types of
8 service, so I guess I have to say no, I don't agree.

9 Q So the difference in service wouldn't make a
10 differences to the electric service provider?

11 A I guess so, yes.

12 COMMISSIONER GARCIA: Why don't you explain
13 why it would make a difference.

14 WITNESS DYAL: Well, I guess I'm not real
15 sure what she's hunting. But I guess in my mind, I,
16 being the electric service provider, if all I'm
17 providing is a single source feed with the backup load
18 management generators, in my mind I'm reducing my
19 costs and increasing my savings to the tune of about a
20 50,000. If I'm just giving throwover, then I'm not
21 gaining that 50,000 in savings by using the unit as
22 load management, so I'm not incurring those savings;
23 I'm just providing service. So it's a different
24 function, a different service.

25 Q (By Ms. Jaye) Okay. Mr. Dyal, turning to

1 Clay's response to question 20, would you agree that
2 Clay's position regarding the higher reliability of an
3 on-site generator is based upon the customer's views?

4 A I would say that 20 is based on what the
5 customer has told us he needs, and that these
6 generators fulfill that need. He made that judgment.
7 We just told him what we had.

8 Q Mr. Dyal, now if you would look at your
9 Late-filed Deposition Exhibit 5, Cost Estimate for
10 River City Plastics Generator. Tell me, are you
11 familiar with this document?

12 A Yes.

13 Q Is the response contained in this document
14 true and correct to the best of your knowledge and
15 belief?

16 A True. Yes.

17 Q Have you included a contingency factor or
18 amount in any of the figures supporting the estimated
19 \$1.1 million amount?

20 A The 1.1 million is basically as a result --
21 as I said we've installed these at six other
22 locations. I think we show in one exhibit where we
23 did install them, and install costs. So it's based on
24 actual installed costs of units, and would include
25 normal contingencies, overheads, labor, everything.

1 Q Turning now to Staff's First Set of
2 Interrogatories, Nos. 1 through 15, could you tell me
3 if you're familiar with this document?

4 A Yes, I am.

5 Q Are these answers true and correct to the
6 best of your knowledge and belief?

7 A Yes, they are.

8 Q Looking at this exhibit, would you please
9 explain what Clay means by capital credit in its
10 answer to Interrogatory 1-G? (Pause)

11 A Capital credits, you know, based as a
12 cooperative, is, I guess, would be comparable to what
13 we call profit. In other words, at the end of the
14 year, after you're through with your revenues and your
15 expense, the difference is basically margins which we
16 return back to the members in terms of capital
17 credits. So you could call it return of margins. We
18 call it capital credits.

19 Q Does the capital credit represent present
20 value or future value as it appears in this exhibit?

21 A As it appears right here it's present, or I
22 guess, it's estimated present; estimated annual.

23 Q What does the average Clay customer normally
24 receive a capital credit?

25 A I'm probably not -- I don't know. I mean I

1 just don't deal in that. We give them every year but
2 I'm not versed in what the payback cycle is and who
3 gets what.

4 Q Now, if you would return for a moment to
5 Clay's response to FPL's Interrogatories 5, 6, 8, 12
6 and 15, I think this was the second in that stack.
7 Give you a chance to flip over to question 15, if you
8 will. Tell me if you are familiar with that. The
9 information contained in that document.

10 A Yes. I see it.

11 Q Now, what I'm trying to do here is put the
12 \$2.4 million into perspective, the figure that is
13 found here in the answer to 15. Does this figure
14 represent the expected capital credits generated over
15 the 15 year service contract with River City Plastics,
16 including load management generators and site facility
17 charges?

18 A No. Basically the 11 million 9 is just
19 gross power revenues over 15 years for the site, okay?
20 So that's just, you know, power -- the rate they are
21 on times 12 months times 15 years; that's just gross
22 revenues.

23 The 2 million 4 would be the cumulative cash
24 flow at the end of 15 years; includes, you know, as it
25 says, the line costs, the generator cost to have them

1 there, the wholesale power costs and revenues. So
2 it's a -- it's what it says it is. I mean --

3 Q How many hours per year does Clay expect to
4 operate its load management generator at River City
5 Plastics for load management purposes?

6 A Around 135 to 140 hours a year.

7 Q Okay. If you would, please, return to
8 Staff's request for Production of Documents 1 through
9 6?

10 COMMISSIONER CLARK: Before you do that, let
11 me ask a question about 15 again.

12 It's not clear to me why the \$2.4 million
13 is. It sure sound seems like it's in effect a net,
14 and it may, in fact, be equivalent to the your profit.
15 It says "which include line costs, customer generation
16 costs, wholesale power costs, and retail power
17 revenues." I would assume you subtract costs from
18 revenues and that would be a net. Is there somebody
19 if you don't know, is there some witness who does
20 know?

21 WITNESS DYAL: Yes. We have someone that
22 could probably answer that.

23 COMMISSIONER CLARK: Because at the
24 beginning you talk about gross power revenue. And
25 then in the second part it talks about costs and

1 revenues and I would assume costs get subtracted from
2 revenues. Maybe we can get somebody else to answer
3 that question. Go ahead, Staff.

4 MS. JAYE: Thank you, Commissioner.

5 Q (By Ms. Jaye) Now, I had just asked you
6 how many hours per year does Clay expect to operate
7 its load management generator at River City Plastics
8 for load management purposes, and you had answered it
9 was about 135 hours; is that correct?

10 A Yes.

11 Q Now, if you would please return to Staff's
12 Request for Production of Documents, numbered 1
13 through 6. This was the very first set of documents.

14 A Yes.

15 Q Now, if you would look at Clay's response to
16 request 3-C.

17 A Yes.

18 Q There's a note at the very bottom of that
19 page, and I was wondering if you could read aloud that
20 note; the very bottom of Clay's response?

21 A "Given that the life of each unit is 15
22 years and that will run 11 months of each year, the
23 dollar per kW equals 1.88."

24 Q How does that tie in with only running the
25 generator 133 hours a year?

1 A Well, we plan on trying to control the peak
2 11 months out of the 12-month year. In any given
3 month we may only run it 2 hours to control the peak
4 that month.

5 Q So that the month doesn't mean running it
6 every day during the month?

7 A Right, no. It only --

8 Q Thank you. Now, which other cost estimates
9 are included in the 1.88 per kilowatt noted here? I
10 believe we're back at question 15 where we were
11 previously.

12 A Say the question, again, sorry?

13 Q Just a moment. Let me turn there.

14 MS. JAYE: Commissioners, I withdraw the
15 question. Staff has requested that I do this.

16 Q (By Ms. Jaye) Mr. Dyal, if you would
17 please refer to Staff's Interrogatory No. 10.

18 A The late-filed exhibit or --

19 Q It's the Interrogatory No. 10. (Pause)

20 A Is it in this group you handed me?

21 Q Just a moment.

22 A Here it is, I'm sorry. No. 10?

23 Q Yes.

24 A I've got it.

25 Q I believe there's a table in Clay's

1 response --

2 A Right.

3 Q Okay. We're on the same page now I think.

4 A Page 4.

5 Q Yes. Clay states that its first-year cost
6 would be \$36,023.

7 A Yeah. The taxes, fees and fuel expense.

8 Q Yes. And that it would increase as 3.5%
9 annually; is this correct?

10 A Right, yes.

11 Q Now, in Clay's response to question 13 in
12 that same set of Clay's responses to Staff's
13 interrogatories, would you clarify if Clay dispatches
14 all of the load management generators at the same time
15 when they are running them in load management?

16 A Yes. When we go into load management we'll
17 have them all on.

18 Q Now, speaking of load management, during
19 your deposition, when Staff asked how the load
20 management credit is determined on a
21 customer-by-customer basis, you responded "It depends
22 on their load and what they are willing to do." This
23 was to Page 53, Lines 18 and 19 in your deposition.

24 Could you explain what "it depends on their
25 load and the what they are willing to do" means?

1 A I guess what I'm really referring to, it
2 really depends on whether they are willing to
3 participate as to whether or not we put them on it.
4 Basically, what we just look at, and that is, is their
5 load and now coincidental probability they are on our
6 peak. In other words, are we going to be able to use
7 the units and that type of thing.

8 Q So this would be negotiated between Clay and
9 the customer?

10 A Well, I don't know that it's necessarily
11 called negotiation per se. We look at each load and
12 how it contributes to the peak. And it has to be a
13 win-win for both of us. If it can't work as a load
14 management device, then we're not going to get
15 involved in it at all. So it has to work in that
16 vernacular.

17 And then we look at each customer, depending
18 on how well it may work as to how much credit he may
19 get, and that's why you have the range. And even in
20 the range, if they are willing to give up their
21 capital credits, then you know the range may even get
22 broader. If they are not willing to give up capital
23 credits, then that's part of the -- looking at the
24 cost.

25 Q Now, staying with the idea of cost for a

1 of documents that are interrogatories 1 through 15, I
2 only have I guess Mr. McCartney's signature and
3 Mr. Malphurs. I to haven't have any others. Do you,
4 Joe?

5 COMMISSIONER GARCIA: No.

6 MR. LOGAN: Commissioner, I think it's the
7 second to the last page; the witness signature.

8 WITNESS DYAL: That was the one I asked her
9 she was at and she said no. I'm assuming she was
10 talking about the contract. Appendix B I have not
11 signed.

12 COMMISSIONER CLARK: All right. Okay. I'm
13 sorry. I was looking at the appendix. And it's
14 actually -- about four pages before the last that I do
15 have. There's on Susan Reeves, a Herman Dyal -- is
16 that it?

17 COMMISSIONER GARCIA: This is what she's
18 talking about. (Indicating document.)

19 MS. JAYE: Yes, sir.

20 COMMISSIONER CLARK: Okay. Thank you.

21 MS. JAYE: Staff has no further questions.

22 COMMISSIONER CLARK: All right.

23 Commissioner Garcia. Redirect?

24 MR. HASWELL: Thank you. I do have a
25 resolution to the question about Late-filed

1 Exhibit 10, the answer to No. 15, if the parties have
2 no objection. The person who furnished that
3 information to Mr. Dyal is with us. However you want
4 to handle that. I'm certainly not prepared to testify
5 for him. I believe, Commissioner Clark, you wanted to
6 know what the relationship of the 2,431,756 was.

7 COMMISSIONER CLARK: Just a minute.

8 Mr. Dyal comes back on as a rebuttal. He can answer
9 it then. He can confer with whoever knows and then
10 answer it then, if that's all right with you, Mr.
11 Logan?

12 MR. LOGAN: That's fine.

13 COMMISSIONER CLARK: Okay.

14 MR. HASWELL: Thank you.

15 COMMISSIONER CLARK: Go ahead, Mr. Haswell.

16 MR. HASWELL: Thank you.

17 REDIRECT EXAMINATION

18 BY MR. HASWELL:

19 Q I just have a few questions concerning some
20 of the questions that Mr. Logan asked you.

21 Mr. Dyal, what was the reason for moving the
22 reclosers that you referred to that Mr. Logan had
23 asked you? Perhaps you could also show where they
24 were moved on the map.

25 A Basically, right now looking at this out of

1 our Sanderson sub, the feeder goes due north, comes up
2 90, goes across and then goes up.

3 We have a set of hydraulic breakers up in
4 this area. (Indicating) And what's that intended to
5 is for problems or outages up into this area, it would
6 open up here and not affect any of the customers back
7 down here. But because of the step-up we have in the
8 station and the coordination between the electronic
9 breaker in the station and the hydraulic here, we were
10 getting faults up in this area that were, in essence,
11 going through this breaker and locking out the
12 station. So we were losing all of customers in here
13 for actually a problem up here.

14 To resolve that what we do, we changed that
15 hydraulic to an electronic so it coordinates with
16 that, with the breaker in the station, to prevent that
17 from happening. But due to River City Plastics coming
18 in, and the work we were doing, we decided rather than
19 just change them right here, we would move the breaker
20 location to right here. What that does is take this
21 exposure off of River City Plastics, changes the
22 feeder to where the feeder basically looks from here
23 to River City, and this up here becomes a tap off that
24 electronic breaker.

25 Q Thank you, sir. Mr. Logan also asked you

1 questions about 12 to 18 cycles is what River City
2 Plastics has told you is a -- constitutes an
3 interruption. Has Mr. McCartney of River City
4 Plastics indicated any other time frame that causes
5 his lines to go down?

6 A You know, he refers to even less than that
7 that he'll have certain losses of his lines, I think
8 that came through his rebuttal in talking about his
9 services and the quality of it.

10 The 12 to 18 was basically here again when
11 he lost over 50% of his lines, his plant had a major
12 outage. If it's less than that, he tends to deal with
13 it but he does have loss of production and that could
14 be anywhere from six cycles to the 12.

15 Q Okay. Thank you. I believe you were also
16 asked when the Sanderson substation was built. Could
17 you refer to Page 2, Line 16, of your direct testimony
18 for you minute?

19 A Yes. I guess I should have before. It's
20 1973.

21 Q Okay. Thank you. Does Clay Electric -- you
22 were also asked questions by Staff if you objected to
23 the construction of the Wiremill substation. Does
24 Clay Electric regard the location of a substation, or
25 the construction of one by another utility adjacent

1 to, let's say, your own area as a claim to your
2 territory?

3 A No.

4 Q You were also asked by Mr. Logan questions
5 about the bypass switch. Do you still have a copy of
6 that Powell-ESCO specification?

7 A No. I didn't have one then.

8 Q You also indicated that the switch caused
9 you some concerns. As a professional engineer, could
10 you tell us what are your concerns? What happens when
11 that switch is operated and bypassed and what happens
12 when it's not bypassed in terms of good engineering
13 practices, prudent utility practices?

14 A Well, the concerns I have, a traditional
15 bypass switch, in the vernacular of the industry we've
16 used it, typically is operated in a mode that is -- it
17 has a primary feed and then it has a backup feed. The
18 normal traditional mode is it senses source voltage on
19 a primary. When it loses that voltage, it opens up
20 primary feed, and then after a certain time delay,
21 find reclosers or whatever to clear, it would then
22 transfer over to the backup.

23 Transfer times typically in that mode are
24 not intended to stop momentaries. They are in the
25 seconds range. That's your traditional technology.

1 The switch that they are proposing here is
2 an major breakthrough, especially at a \$40,000 cost
3 level. I don't have any way to verify it, so I'm
4 having to take it here at face value, which does cause
5 me some concern.

6 As an engineer, when you start operating in
7 nine cycles and less, you're having to make some real
8 decisions. One, I purport what they are saying in a
9 bypass mode that what's going to happen here is they
10 are not going to open up the preferred source first,
11 but they are going to close in the backup before they
12 open the primary; which means if you've got a fault on
13 your primary feed, you are now putting both of your
14 transformers in parallel into a fault. And then it
15 will open those with the, quote, "switch" itself,
16 which is a nontraditional role.

17 Now, the spec sheet shows it has capability,
18 but -- you know, I mean I've never seen that. And so
19 I -- you know, I'm leary of that mode.

20 So that's a nontraditional application. I
21 think when they talk about the non-bypass position,
22 and here again I'm going by assumption of what
23 historically how a switch operates, that's the typical
24 time where they open up the preferred and then close
25 in the backup. And that's the 12-plus cycles, 12 plus

1 or minus 1. That's the more traditional mode.

2 So here again, not only is it a new switch
3 and a different switch, it's somewhat a nontraditional
4 because you're possibly exposing your backup feeder to
5 the same fault that you're trying to get off of. And
6 then you're depending on this transfer switch to
7 interrupt fault current to try to isolate back your
8 backup feeder from the primary, unless you've got
9 timing in your station breakers to separate those. So
10 that's -- when we're dealing in cycles, there's not a
11 lot of room for error. So that's a tough move. I'd
12 have to see a lot of tests. I'd have to see a lot of
13 experience that this test worked.

14 Also, I guess I have a concern. We
15 constantly, in our industry, look at ideas; things we
16 feel will work, things that will improve. And I
17 buy -- if this works, it's a great switch. I'm not
18 trying to dispute that per se. But one of the things
19 that's got to make this switch work is one, you've got
20 to be able to sense the loss of voltage. And a loss
21 of voltage is not always synopsis with an interruption
22 of current. Just like in this situation, you can go
23 into a lab and you can put a source voltage on a
24 control panel and you can lower that voltage and it
25 will transfer over. I don't doubt that. But in the

1 real world, this thing has a dynamic electrical system
2 in it and it doesn't necessarily always have zero
3 voltage. I doesn't always have 70% voltage. This
4 switch is going to sit on top of about 3,000 foot of
5 cable that is capacity by nature, which basically
6 means you could open up the breaker station, and the
7 charging in that cable, it may hold a voltage.

8 Now, it's only maybe hold the cycles, but
9 here again if it holds it for three or four cycles,
10 you've got no current flowing; there's no power to its
11 motors. So then you begin to open up and it clears in
12 nine cycles, you're talking 12 or 13 cycles that his
13 motors have not seen torque; they have not seen
14 current.

15 So there's things that concern me about the
16 switch. It may work great but, frankly, all I have is
17 one page. I have no test data. If it works great,
18 we'd buy a bunch of them. Love to see it. But as an
19 engineer, I'm pretty skeptical right now. There's
20 just not one available out there. And I did try to
21 talk to Powell-ESCO, and you can't. It's proprietary
22 switch for Florida Power and Light. So right now I
23 don't know what this switch will do.

24 MR. HASWELL: Thank you, sir. I have no
25 other questions.

1 MR. LOGAN: Commissioner Clark, I have just
2 a couple of questions related to the territory in one
3 of their exhibits that Staff touched on. I promise
4 I'll be very, very brief.

5 COMMISSIONER CLARK: Go ahead, Mr. Logan.

6 MR. LOGAN: Thank you.

7 REXCROSS EXAMINATION

8 BY MR. LOGAN:

9 Q Mr. Dyal, I want to turn your attention to
10 the E-2, which is the territory that you all serve. I
11 think it's behind that photo.

12 A Do you want me to go up there?

13 Q I don't think you'll need to.

14 A All right.

15 Q Mr. Dyal, each of these grids represents how
16 much territory or space on that map, do you know?

17 A The grids on that map right there?

18 Q Yes.

19 A I'm sure there's a scale on it. I can look
20 and see if there's scale.

21 Q Okay.

22 A (Witness moves to charts) Looks like
23 somewhat a couple of miles, -- (Pause) Looks like
24 somewhere around a mile.

25 Q About a square mile?

1 A Yeah. That's a guess, I mean --

2 Q Now, so if there is one customer within that
3 block then that was gridded off as a -- part of your
4 service territory or where you are serving customers,
5 is that how that works?

6 A If we're serving a customer in it, then we
7 probably gridded it off.

8 Q Would there be any of those grids where
9 there might be FPL customers as well?

10 A I wouldn't know specific on each and every
11 grid. Some of those grids are half grids. It's not a
12 square block on every grid, so I'm sure --

13 COMMISSIONER CLARK: The answer is you don't
14 know.

15 WITNESS DYAL: What?

16 COMMISSIONER CLARK: You don't know if there
17 are any FPL customers in the areas you've shaded off
18 as being your territory?

19 WITNESS DYAL: I'm not aware of any, but
20 there may be some perimeter area where there is a
21 customer. Like we serve along the county road there
22 just south of Macclenny, and I know they come down
23 that road. With whether they cross, I really don't
24 know, each one. As a whole it would be very, very
25 minor.

1 Q Subject to check, would the total number of
2 customers served by Clay and Baker County be
3 approximately 1900?

4 A That's what I said in my deposition. I did
5 list it.

6 Q And again, subject to check, for FPL
7 approximately 6300?

8 A Yes.

9 Q And, again, with respect to these blocks,
10 there could be as few as one customer in a block.
11 This is a rural area?

12 A Sure.

13 Q I think that's your testimony. Thank you.

14 MR. LOGAN: Thank you, Commissioners.

15 MR. HASWELL: We'd move Mr. Dyal's exhibit,
16 Exhibit 9, I believe.

17 COMMISSIONER CLARK: Without objection
18 Exhibit 9 is admitted in the record.

19 MS. JAYE: And Staff would move Exhibit 11.

20 COMMISSIONER CLARK: Without objection
21 Exhibit 11 is entered in the record.

22 MR. LOGAN: FPL would move Exhibit 10.

23 COMMISSIONER CLARK: Without objection
24 Exhibit 10 is moved into the record.

25 Thank you, Mr. Dyal. We're back to

1 Mr. Hood.

2 (Exhibits 9, 10 and 11 received in
3 evidence.)

4 MR. LOGAN: FPL would call Mr. Hood.

5 - - - - -

6 ROBERT A. HOOD

7 was called as a rebuttal witness on behalf of Florida
8 Power & Light Company and, having been duly sworn,
9 testified as follows:

10 DIRECT EXAMINATION

11 BY MR. LOGAN:

12 Q Mr. Hood, can you state your name for the
13 record, please?

14 A Robert A. Hood.

15 Q Are you the same Mr. Hood that caused to be
16 prepared prefiled rebuttal testimony dated
17 September 22, 1997?

18 A Yes, I am.

19 Q If I were to ask you the questions contained
20 in this testimony today, would your answers be the
21 same?

22 A Yes, sir, they would.

23 Q Did you have exhibits attached to that
24 rebuttal testimony? I don't believe you did.

25 A I don't believe so, no, sir.

1 **MR. LOGAN:** Commissioner Clark, I move that
2 rebuttal testimony of Mr. Robert Hood, dated September
3 22, 1997, be admitted into the record as though read.

4 **COMMISSIONER CLARK:** The rebuttal testimony
5 of Robert A. Hood will be inserted into the record as
6 though read.

7 **MR. LOGAN:** Mr. Hood does not have a
8 summary. We'll tender him for cross.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2 BEFORE THE PUBLIC SERVICE COMMISSION

3 FLORIDA POWER & LIGHT COMPANY

4 REBUTTAL TESTIMONY OF ROBERT A. HOOD

5 DOCKET NO. 970512-EU

6 SEPTEMBER 22, 1997
78 Q) CAN YOU PLEASE STATE YOUR NAME AND BUSINESS ADDRESS FOR THE
9 RECORD.10
11 A) My name is Robert A. Hood.12
13 Q) MR. HOOD, WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?
1415 A) To rebut certain aspects of Mr. Dyal's and Mr. Barrow's
16 testimony with respect to FPL's proposed provision of
17 service to River City Plastics as well as that proposed by
18 Clay.19
20 Q) In Mr. Dyal's testimony, page 5, lines 18-20, Mr. Dyal
21 states that "The service offered by Florida Power & Light
22 is, for lack of a better way of saying it, standard three
23 phase service just like its other customer, Florida Wire &
24 Cable is receiving". Do you agree, that standard three

1 phase service is what FPL will provide to RCP?

2
3 A) No. In fact, due to RCP's unique reliability requirements,
4 FPL would provide a much different type of service. FPL
5 would provide two three-phase services, fed from two
6 separate power transformers. One service would be the
7 primary service and the other would be the backup (dual)
8 service. These two services would be connected by a
9 throwover switch device, which would automatically sense an
10 interruption and transfer RCP's load to the backup service.
11 The switch will accomplish this transfer in 8.5 cycles or
12 .14 seconds. By Mr. Dyal's testimony, page 6, lines 8 & 9,
13 "An outage to RCP is any interruption of electricity of over
14 12 - 18 cycles". Therefore, RCP would not experience an
15 outage during this transfer. In addition, the transfer back
16 from the backup service to the primary service would be in
17 parallel and no interruption would occur.

18
19 Q) Mr. Barrow provided data to the consultant, Post, Buckley,
20 Schuh & Jernigan, reviewing RCP'S service requirements. In
21 HDB-3, Exhibit "A", Mr. Barrow states, "One service to RCP
22 would be from an existing substation approximately 2 miles
23 away". Do you agree with this distance and that RCP is
24 approximately 2 miles from Clay Electric's Sanderson

1 Substation?

2
3 A) No. RCP is approximately twice that distance from Sanderson
4 Substation. Mr. Dyal, in his testimony, page 6, line 2,
5 states "3.5 miles" and his Exhibit #2 shows a total distance
6 of 3.75 miles. The distance from Clay's Sanderson
7 Substation is 3.75 miles.

8
9 Q) On page 3 of Mr. Dyal's Direct Testimony, from line 20 to
10 page 4 line 2, Mr. Dyal states the system improvements
11 required to provide service to River City Plastics (RCP).
12 Do you agree that these system improvements will provide for
13 RCP's needs?

14
15 A) According to data provided by Mr. Dyal, the step-up
16 transformer in Phase two will be overloaded with RCP's
17 initial load.

	Proposed RCP KVA Existing KVA	Proposed RCP KVA startup load	load with 20% growth
Transformer rating	3750	4688	4688
Transformer loading	<u>2630</u>	<u>4983*</u>	<u>5980</u>

25
26 Over/Under Capacity 1120 (295) (1192)

27 * (2630 KVA + 2353 KVA (2000 KW/85% power factor) = 4983 KVA)

1
2 The step-up transformer would be operating at 100% of
3 capacity with RCP's current load requirements. With RCP's
4 load growth, Clay Electric will be required to increase the
5 capacity of this step-up transformer. In addition, this
6 does not address any increase in load from other customers
7 in the area. Ginger Barber with the Baker County Chamber
8 of Commerce has told FPL that as soon as the road is in and
9 RCP is up and operating, they will begin to actively market
10 the other two parcels in this industrial park. This could
11 also result in loading problems for Clay's Sanderson
12 Substation's power transformer (Phase one of the system
13 improvements). FPL knows its existing Wiremill Substation
14 capacity is ample to meet all of RCP's needs and the needs
15 of the surrounding area. Also FPL believes Clay Electric's
16 substation is insufficient to meet RCP's initial load
17 requirements, RCP's growth load requirements and the
18 surrounding area's growth load requirements without costly
19 additional system improvements.

20
21 Q) After reviewing Clay's testimony and documents in this
22 dispute, do you have any concluding remarks?

23
24 A) Yes. The decision for who should be awarded this customer

1 should be based on the Commission's usual criteria in
2 resolving territorial disputes, and that is Rule 25-06.0441.
3 This rule addresses the capability of each utility, the
4 nature of the area and foreseeable future requirements as
5 well as the cost of each utility to provide the service. I
6 is clear that FPL should be awarded this customer for the
7 following reasons:

- 8 1) FPL has the substation capacity to provide reliable
9 electric service with its existing facilities to not
10 only service River City Plastics but to serve the two
11 additional industrial customers planned for the
12 industrial park.
- 13 2) The only new facilities required would be the
14 distribution facilities extended to serve this customer
15 and the addition of regulators in the substation.
- 16 3) FPL's Wiremill Substation is situated adjacent to this
17 industrial park and also serves the community of
18 Sanderson within 1/2 mile of the disputed area.
- 19 4) The cost for FPL to serve this customer is
20 substantially lower, \$205,431 (including the substation
21 improvements) compared to Clay Electric's stated costs
22 of \$1,198,000.
- 23 5) The customer's preference should not be considered as
24 factors are not substantially equal.
- 25 6) The effect on FPL's ratepayers would be higher costs

1 and reduced utilization of its existing Wiremill
2 Substation.

3 7) Duplication of facilities would be avoided, including
4 duplicating substation capacity.

5 8) FPL would provide this customer with extremely reliable
6 electric service. A utility can spend any amount of
7 money to ensure the customer the very highest level of
8 reliability; however, the impact of these costs on the
9 other utility members/customers should be considered as
10 well.

11
12 Q) Does this conclude your rebuttal testimony?

13 A) Yes.

1 **COMMISSIONER CLARK:** All right.

2 Mr. Haswell.

3 **MR. HASWELL:** Thank you.

4 **CROSS EXAMINATION**

5 **BY MR. HASWELL:**

6 **Q** Mr. Hood, in your rebuttal, basically on
7 Pages 1 and I think continuing on to Page 2, the
8 service that you're referring to there, that was your
9 Option 3 that you referred to in your direct; is that
10 not correct?

11 **A** That's correct.

12 **Q** Okay. And that was also the service that
13 you referred to in the change to your direct where you
14 said you would not charge a CIAC for an Option 3?

15 **A** That's correct.

16 **Q** Okay. I just wanted to make it clear that
17 FPL did not first tell River City Plastics it would
18 provide that service at no cost to River City
19 Plastics?

20 **A** That's correct. Originally there was a cost
21 to provide that, and later on, I believe the date that
22 came out was May the 12th, in a meeting with
23 Mr. McCartney, that they would provide it at no cost.

24 **Q** So your initial service or offer to River
25 City Plastics was primary single feed overhead?

1 A Right. And any backup would be at the
2 customer's cost.

3 Q Now -- and you just said you changed that
4 offer on May 12th of 1997?

5 A It was changed, yes.

6 Q Okay. Now do you know that River City
7 Plastics signed a contract with Clay Electric on March
8 20th, 1997?

9 A I do now. I'm not sure if the people at
10 that meeting -- well, I would think they wouldn't have
11 known at that time because I believe there was
12 testimony, or in one of the exhibits maybe, or my
13 discussions with Mr. Cobb -- I believe he did know via
14 conversation with Mr. McCartney in March, I believe it
15 was March the 17th, that he was aware that they were
16 considering Clay as the primary provider.

17 Q Okay. Thank you.

18 On Page 4 of your rebuttal you refer to a
19 step-up transformer would be operating at 106% of
20 capacity.

21 A That's correct.

22 Q But didn't you earlier say that one of your
23 operating policies at Florida Power and Light said you
24 could run a transformer up to 130%?

25 A Power transformer, yes, sir.

1 Q Okay. Does that apply to any transformer,
2 that you can overload them for a certain percentage?

3 A It would, yes.

4 Q Okay.

5 A I think my point here was that it's
6 overloaded with the existing River City Plastics load,
7 and any future load would just make that problem much
8 worse.

9 Q Do you think Mr. McCartney is misinformed
10 about his desire or making a big mistake in his desire
11 to have Clay Electric provide the kind of service he's
12 requesting?

13 A I think there may be some misunderstanding
14 on what our service entails. I think there also may
15 be some misunderstanding -- and this is my assumptions
16 from what I read based on the testimony or the
17 information provided by the consultant. It did not
18 appear to me in the documents provided that they
19 really took a good look at the service. In fact, they
20 made, as we identified earlier -- or was identified
21 earlier, they made some misassumptions in the
22 calculations of the bill, which today it came out that
23 River City knew that. But, also, there were some
24 standpoints by Mr. Borrow about the primary service
25 and the indication to the consultant that there was no

1 fusing between the substation breaker and River City
2 Plastics, the customer, as if that is a benefit to the
3 customer. And I believe the consultant, in looking at
4 the documents, took it that way. And that actually is
5 nowhere near an advantage to the customer when it
6 comes to a permanent type outage.

7 So I would say that some of the information
8 that Mr. McCartney received from the consultant was
9 not good information.

10 Q So you think you should take your dual feed
11 backup, your underground primary and overhead backup,
12 whether he likes it or not?

13 A I think Mr. McCartney could request what he
14 would like. But any customer could request that but
15 you have to look at, also, your other customers and
16 what the impact of spending those kind of dollars for
17 a service that if you look at what we have provided
18 just to the adjacent industrial customer over the past
19 five years, or even the past eight years, has been
20 superior service, we believe, to what he will
21 experience from generator backup.

22 Q If Florida Power and Light did a
23 cost/benefit analysis, which you said you have not
24 done, and it showed that there was a net benefit of
25 installing generators at FPL's cost in a similar

1 fashion as Clay's, the net benefit to your customers,
2 your utility, of \$50,000 a year, would you do it?

3 A I would seriously consider it.

4 Q Okay.

5 A I would have to do a lot of calculations to
6 come up with a \$50,000 benefit.

7 Q Now, in terms of -- and this will be my last
8 question -- in terms of the interruptions, momentaries
9 and all the fussing we're doing about how fast this
10 throwover switch works, if it was determined that it
11 either did not work in its actual test, once it's
12 actually tested out and works, or some test results
13 were available, that it won't stop an interruption of
14 Mr. McCartney's lines, or at least 50% of them --
15 because let's say it takes 14 cycles to operate
16 instead of 12, or that Mr. McCartney's system really
17 needs it to work faster than that 8.5, then it
18 wouldn't really make any difference whether he went to
19 turn a generator on to restore power or whether you
20 had some other device available in our system to
21 restore his power, would it?

22 A Go back to the switch. First of all, that
23 switch will work.

24 Q Could you answer my question first, and
25 then -- yes or no, and then you could explain?

1 A Okay. I guess I got kind of focused on the
2 assumption that it wouldn't work. Would you repeat
3 the question?

4 **COMMISSIONER CLARK:** It was kind of long,
5 Mr. Haswell. I can't remember it myself.

6 Q I'll shorten the assumption.

7 Assume that the switch, which, again, you
8 have not produced any test results, does not really
9 transfer or stop his interruptions fast enough to keep
10 his equipment from shutting down, okay?

11 A Okay.

12 Q I threw out an example. Let's say it took
13 it 12 cycles and his equipment can only stand 8.

14 A Okay.

15 Q So the switch didn't stop his outage. Would
16 it make any difference in terms of restoring power to
17 this customer whether he restored his power on a
18 generator that took 30 seconds to a minute to come on
19 line, or your backup feed?

20 A No, under that assumption I would say that
21 he would have a down time with his production.

22 Q All right.

23 **MR. HASWELL:** I have no other questions.

24 **COMMISSIONER CLARK:** Staff.

25 **MS. JAYE:** Staff has no questions.

1 **COMMISSIONER CLARK:** Commissioners? Thank
2 you, Mr. Hood.

3 **COMMISSIONER GARCIA:** I had a quick
4 question.

5 Tell me why it would work, because I wanted
6 to hear your explanation and we didn't get it all.

7 **WITNESS HOOD:** I can tell you that Florida
8 Power and Light would not put in its engineering
9 standards that this will be the only switch that we
10 will purchase, that has come out from our engineering
11 department, unless we absolutely knew that that switch
12 would perform at the level that it's supposed to.

13 We helped develop that switch based on a
14 need for a faster throwover. And we would not have
15 been a part of that and ended up going into purchasing
16 those and saying that is the only switch we will buy
17 if we did not -- be assured that it would work. We
18 have not had a history of doing that, and we would not
19 do that here.

20 **COMMISSIONER GARCIA:** Thank you.

21 **COMMISSIONER CLARK:** Let me ask a question.
22 You went directly to the manufacturer to develop this
23 switch?

24 **WITNESS HOOD:** Our engineering department
25 worked with them to develop it. I was talking to

1 Mr. Brill at the break. We have been working on a
2 project for the faster switch for up to five years.

3 COMMISSIONER CLARK: With this manufacturer?

4 WITNESS HOOD: I would assume with this
5 manufacturer. It's the one we ended up dealing with
6 in manufacturing the switch to our specifications.
7 And the information, as Mr. Dyal pointed out, is
8 proprietary because we did help with the
9 specifications and the design, and we would not like
10 for them to give that information out to any other
11 utility.

12 COMMISSIONER CLARK: Thank you. Exhibits?

13 MR. LOGAN: No redirect.

14 COMMISSIONER CLARK: I'm sorry, Mr. Logan.

15 WITNESS HOOD: I thought I was excused.

16 MR. LOGAN: He is, I think. No exhibits
17 either.

18 COMMISSIONER CLARK: All right. I'm sorry.

19 Thank you, Mr. Hood. Now you're excused.

20 (Witness Hood excused.)

21 COMMISSIONER CLARK: Mr. Noble.
22
23
24
25

1 **REX E. NOBLE, JR.**
2 was called as a rebuttal witness on behalf of Florida
3 Power & Light Company and, having been duly sworn,
4 testified as follows:

5 **DIRECT EXAMINATION**

6 **BY MR. LOGAN:**

7 **Q** Mr. Noble, can you state your name and
8 business address for the record please?

9 **A** Rex E. Noble, Jr. 1982 North State Road 7,
10 Margate, Florida.

11 **Q** And are you the same Mr. Noble that caused
12 to be prepared prefiled rebuttal testimony dated
13 September 22, 1997, in this docket?

14 **A** Yes, sir.

15 **Q** If I were to ask you the questions contained
16 in that testimony today, would your answers be the
17 same?

18 **A** Yes, sir.

19 **MR. LOGAN:** Commissioner Clark, I'd move
20 that Mr. Noble's rebuttal testimony, dated September
21 22, 1997, be inserted into the record as though read.

22 **COMMISSIONER CLARK:** Mr. Noble's rebuttal
23 testimony will be inserted into the record as though
24 read.

25

1 BEFORE THE PUBLIC SERVICE COMMISSION

2 FLORIDA POWER & LIGHT COMPANY

3 REBUTTAL TESTIMONY OF REX E NOBLE JR

4 DOCKET NO. 970512-EU

5 SEPTEMBER 22, 1997

6

7 Q) Please state your name and business address.

8

9 A) Rex E. Noble, Jr. and my business address is 1982 North
10 State Road 7, Margate, Florida 33063.

11

12 Q) What is your occupation?

13

14 A) I am Manager of Technical Services, FPL Services. I am
15 also a registered Professional Engineer in the states of
16 Florida and Alabama.

17

18 Q) Please describe your educational background.

19

20 A) I have a Bachelor of Science Degree in Mechanical
21 Engineering from Auburn University.

22

23 Q) Please describe your professional background.

24

1 A) I am currently responsible for managing project
2 development for FPL Services. I have directed the
3 development of over \$15,000,000 of construction for FPL
4 Services. I oversee the development of engineering,
5 construction, measurement and verification and pricing
6 for all performance contracts. I have developed projects
7 for lighting retrofits, Heating, Ventilation and Air
8 Conditioning retrofits, and installation of backup
9 generators. I have over 15 years of experience in the
10 Demand Side Management field and mechanical system
11 design. I have designed mechanical systems for large
12 hospitals and managed the installation of air
13 conditioning equipment, lighting and generators. I am
14 the Past President of the Southeast Florida Chapter of
15 the Association of Energy Engineers. I am currently the
16 Assistant Regional Chairman, Region XII and a member of
17 the ASHRAE Continuing Education Committee for the
18 American Society of Heating, Refrigeration and Air
19 Conditioning Engineers. I am also a Certified Energy
20 Manager and a Certified Indoor Air Quality Professional
21 through the Association of Energy Engineers.

22
23 Q) What is the purpose of your testimony?

24

1 A) To identify the costs of providing a generator, including
2 siting the generator, construction, operation and maintenance
3 of the generator system.

4

5 Q) In Mr. Dyal's response to Interrogatory No. 3 of FPL's
6 1st Set of Interrogatories, Mr. Dyal estimates the cost
7 of Phase 7, providing two (2) 1360 kw load management
8 generators and associated equipment as \$1,100,000.00.
9 What is FPL's position on this cost estimate?

10

11 A) It is difficult to evaluate Clay's cost estimate of \$1.1
12 million as Clay has not provided the specific breakdown
13 of the generator costs. In Clay's response to
14 Interrogatory No. 9, they state the cost of each
15 generator is \$450,000. This would leave \$200,000 for the
16 associated equipment costs. Based on our discussions
17 with the generator supplier, Ring Power, we feel there
18 are more costs involved.

19

20 Q) What are the various costs involved with supplying two
21 1360 kv generators?

22

23 A) The generator and associated costs to FPL are:

24

1	a.	2 - Power Modules (generators with switchgear and	
2		weatherproof enclosures)	
3		Total price for both modules	\$ 900,000
4		(450,000/ea.)	
5	b.	Fuel storage tanks, 5000 gallons	\$ 4,200
6		(above ground)	
7	c.	Labor	\$ 100,000
8	d.	Liability Insurance	\$ 9,200
9	e.	Permitting construction and	
10		environmental	\$ 18,000
11			
12			
13	f.	Payment and performance bonds	\$ 9,200
14	g.	Engineering	\$ 50,000
15	i.	Contingency (for unknown site conditions)	\$ 50,000
16	j.	On-site construction management	\$ 54,000
17	k.	Overhead	\$ 179,190
18	l.	Profit	\$ 137,379
19			_____
20		Total costs for 2 generators and	
21		associated equipment	\$1,511,169

23 Q) In Mr. Dyal's testimony, page 6, lines 13-15, he states
 24 "When the plant goes down due to an electrical outage it
 25 takes two people per production line to restart the line
 26 and approximately eight hours to get the line back to

1 full production". And on line 19 he further states, "You
2 can also see that it is critical that another "blink" not
3 occur during the eight hours of restart or the process
4 must start over." What is your estimate of the cost to
5 run the two generators during such an eight-hour
6 operation?

7
8 A) The cost of operation for two generators during an 8-hour
9 period will be approximately \$1,120, or \$140 per hour.

10
11 Q) Mr. Dyal asserts in his testimony on page 5, lines 20-24
12 that, "Clay is offering an innovative service that takes
13 into account the unique operational needs of the customer
14 through the use of load management generators for back-up
15 as well as load management, which when coupled with
16 Clay's three phase service is clearly a superior method
17 of providing the required service." Do you agree that
18 Clay's service proposal is superior to FPL's dual
19 throwover service?

20
21 A) No. The service Clay is offering the customer is
22 somewhat innovative. However, the proposal from FPL will
23 provide the customer with reliable service at a
24 significantly lower installation cost. Based on Clay's

1 proposal, someone will need to subsidize not only the
2 installation of the generators, but also the costs to
3 maintain and operate the system, since Clay will be
4 providing the generators to the customer at no cost.
5 When all costs are examined, the costs of 1.1 million
6 would increase by approximately 25% for additional
7 factors. This increase is due to the insurance,
8 permitting, payment and performance bond, engineering
9 services, overhead and profit. FPL's proposed system
10 will provide superior service for the customer because of
11 the very fast transfer time for distribution
12 interruptions and will be a much more cost effective
13 system, both in initial capital cost and in operating and
14 maintenance costs.

15
16 Q) Does this conclude your testimony?

17
18 A) Yes.

1 Q (By Mr. Logan) Mr. Noble, do you have a
2 summary of your testimony?

3 A Yes, sir.

4 Q Would you provide that for the
5 Commissioners, please?

6 A Commissioners, the purpose of my rebuttal
7 testimony is simple and straightforward: I work for
8 FPL Services, which is is wholly-owned subsidiary of
9 Florida Power and Light. In my capacity as Manager of
10 Technical Services, I currently -- I'm currently
11 involved in the preparation, in the review of
12 proposals, for the sale and installation of a variety
13 of energy-related equipment and services, including
14 generators.

15 As you might expect in the areas we compete
16 with other energy service companies for the sale and
17 installation of such equipment, it's been FPL
18 Services' experience that in most instances there is
19 not a large variation in the hard costs associated
20 with the proposals, such as those for backup
21 generation.

22 FPL has asked me to review the limited
23 information submitted by Clay with respect to the
24 costs associated with the purchase and installation of
25 two 1360 kW load management generators at the River

1 City Plastics facility.

2 My review of that information indicates that
3 Clay's estimate of \$1,100,000 may have understated the
4 actual costs of purchasing and installing such
5 equipment. I believe a more accurate figure of those
6 costs, is \$1,511,169. Given the cost of this
7 equipment versus the cost of FPL's proposed throwover
8 switch, as discussed by Ed Brill from FPL, it would
9 not seem that such a proposal is cost-effective.

10 Thank you.

11 MR. LOGAN: Tender the witness for cross
12 examination.

13 COMMISSIONER CLARK: Mr. Haswell.

14 MR. HASWELL: Thank you.

15 CROSS EXAMINATION

16 BY MR. HASWELL:

17 Q Now, isn't it true, Mr. Noble, that you
18 discussed the cost of the generators with Ring Power
19 by a telephone conference you had with them?

20 A Yes, sir.

21 Q And that FPL Services has only ordered about
22 three of these units?

23 A Yes, sir.

24 Q Okay. And when you ordered them, you
25 actually ordered them for a customer who had to pay

1 for them?

2 A Yes, sir.

3 Q But you did, at least in one or two of them,
4 help arrange for the financing?

5 A Yes, sir.

6 Q And the generators that were installed for
7 these customers, they are not included in any tariff
8 filed with the Commission, are they?

9 A No, sir.

10 Q Now, in looking at your cost figures and
11 your testimony on Page 4, I assume that starting on
12 Line 1, that two power modules, that is the telephone
13 quote you got for two units?

14 A Yes, sir. That's the quote I received from
15 Ring Power.

16 Q And the fuel storage tanks, how -- what was
17 your basis for that?

18 A I called the local -- one of the contractors
19 that we use on projects that we're doing currently,
20 got a quote from them on that. Then I went back also
21 to the R. S. Means catalog to just get a gut check on
22 that.

23 Q Okay. Now, on your labor costs -- let me
24 just summarise probably my questions, starting with C
25 through L.

1 Is it fair to say that you basically took
2 the cost of the units, and perhaps the cost of the
3 fuel storage tanks, and just ran a percentage against
4 them to come up with all of these other figures?

5 A No, sir. The labor, the labor costs, and I
6 believe you're referring to my deposition.

7 Q Yes. I am.

8 A Which is I was basing everything off of a
9 percentage to give a concept of where we are. As far
10 the labor, that's based on a similar job that we're
11 doing presently with around a 13 -- they are actually
12 1400 kW generators so that's an actual cost.

13 Now, as far as the liability insurance, that
14 does work out to a percent of the construction cost
15 and also your permitting and environmental impacts.
16 Not knowing the specifics of the job, that's the best
17 we can do with the limited scope. Because a lot of
18 these projects, in order to develop these costs, you
19 really need to have a good firm scope to go off of so
20 you can actually go out and get quotes.

21 So based on the information I had that's how
22 I had developed those costs. As far as payments and
23 performance bonds, FPL Services right now is getting
24 bonding depending again on the specifics of the
25 project, anywhere I think I said between a quarter to

1 2% of the construction costs.

2 Q In your deposition, your deposition you said
3 labor was about 10%?

4 A I was using that figure because it works out
5 to about 10, but the 100,000 --

6 Q I understand but that was because it's 10%
7 with another project you're doing?

8 A Correct. Correct.

9 Q And that liability insurance, you just
10 figured 1%?

11 A Yes, sir.

12 Q And that the performance bonds, you said
13 they could be anywhere from a quarter of a percent to
14 2%?

15 A Right.

16 Q And that the engineering services, you just
17 used a factor of 6%?

18 A Yes, and that's pretty standard in the
19 industry the way engineers figure their fees.

20 Q And construction management you have a set
21 fee you charge of 12%?

22 A That is a set fee we charge, is 12% of
23 construction.

24 Q You said your overhead is running around 15%
25 for this type of project?

1 A Yes, sir.

2 Q And then 10% profit is pretty standard?

3 A Yes.

4 Q Now, these percentages, are those kind of
5 like what we might call system average costs that
6 somebody has put together a lot of data and come up
7 with said these are kind of the average way to price
8 these out?

9 A It is based on projects that we have done.
10 So it would be on an average. Again, without knowing
11 the specific scope, it's difficult to go out and get
12 real accurate pricing.

13 These prices, as far as what is being
14 developed, what I have seen in the industry, these
15 construction costs are not -- you could probably go
16 plus or minus 10%.

17 Q So the cost that you're showing you there,
18 the 1.5 million, is based on what Florida Power and
19 Light would charge someone to install these
20 generators; not necessarily what the actual cost that
21 a customer might incur, let's say on a -- referring to
22 maybe an incremental basis.

23 A These are prices that FPL Services would
24 charge a customer, and these would be very similar to
25 the costs that they would see dealing with another

1 energy service company.

2 Q Okay. But what I'm suggesting to you, sir,
3 is that are you telling me that you're positive Clay
4 is going to incur engineering costs if it does this at
5 \$50,000?

6 A I would say that from my experience in
7 putting together the numbers for projects, whether
8 it's Clay or if it's FPL Services, or even if it's
9 Florida Power and Light, there is a cost in order to
10 do that service. And when you look at all of the
11 costs -- I mean during the project, you're going to
12 find that that actual would probably be about 50,000.

13 Q I agree with you that some of these elements
14 will certainly be involved, but what evidence do you
15 have of any to dispute the fact that Clay who has
16 installed six of these already will spend about
17 1.1 million doing this next one?

18 A As I mentioned, without a scope of services
19 that is being provided, the only information that I
20 had to go off of was the generator sizes of 13 -- I
21 believe it's 1360, and the million one that they had.

22 COMMISSIONER CLARK: Let me ask you a
23 question. Would you expect Clay to include the
24 profit?

25 WITNESS NOBLE: No, ma'am.

1 **COMMISSIONER CLARK:** We could deduct that.

2 **WITNESS NOBLE:** You could deduct that, yes,
3 ma'am.

4 **MR. HASWELL:** I have no other questions.

5 **MS. JAYE:** Staff is going to hand out
6 Late-filed Deposition Exhibit 1 for Mr. Noble: This
7 exhibit is called Information on Leasing River City
8 Plastics Two Generators. I'd like to get this marked
9 for identification at this time.

10 **COMMISSIONER CLARK:** It will be marked as
11 Exhibit 12, and that's the Late-filed Deposition
12 Exhibit 1, Information on Leasing River City Plastics
13 Two Generators.

14 (Exhibit 12 marked for identification.)

15 **BY MS. JAYE:**

16 **Q** Mr. Noble, could you tell me if you've seen
17 this document before?

18 **A** Yes, ma'am.

19 **Q** Did you or someone under your direction and
20 control prepare this document?

21 **A** I prepared the document.

22 **Q** Is the information contained in it true and
23 accurate to the best of your knowledge and belief?

24 **A** Yes, ma'am.

25 **MS. JAYE:** No further questions.

1 **COMMISSIONER CLARK:** Commissioner Garcia.
2 Mr. Logan, redirect.

3 **REDIRECT EXAMINATION**

4 **BY MR. LOGAN:**

5 Q Mr. Noble, in your capacity with FPL
6 Services, you essentially are in the business with
7 competing with other energy services -- other energy
8 services businesses -- it's that Marlin's game
9 again -- for customers purchasing equipment such as
10 generators or other energy related --

11 A Yes, sir.

12 Q And is it your experience in your operation
13 that the margins on those costs vary. In other words,
14 when you go out to compete against other energy
15 service entities, do you find great variation in the
16 hard costs associated with the equipment?

17 A No, sir. The costs that we develop, and
18 that other energy service companies, as was listed out
19 you will find they are very, very similar. If there
20 is any differential in the pricing, that has to do
21 again with the scope of services that are being
22 performed. When we get a RFP, a request for proposal,
23 or go out to get a -- get a request for proposal, the
24 numbers that we'll submit back in are very similar to
25 those other companies.

1 Q Did you ever get a request for proposal from
2 River City for the provision of generators?

3 A No, sir.

4 MR. LOGAN: No further questions.

5 COMMISSIONER CLARK: Exhibits.

6 MR. LOGAN: There are none.

7 MS. JAYE: Staff would like to move
8 Exhibit 12.

9 COMMISSIONER CLARK: Without objection
10 Exhibit 12 is admitted in the record.

11 (Exhibit 12 received in evidence.)

12 Thank, Mr. Noble. You're excused.

13 (Witness Brill excused.)

14 COMMISSIONER CLARK: Mr. Brill.

15 - - - - -

16 EDWARD R. BRILL

17 was called as a rebuttal witness on behalf of Florida
18 Power & Light Company and, having been duly sworn,
19 testified as follows:

20 DIRECT EXAMINATION

21 BY MR. LOGAN:

22 Q Good afternoon, Mr. Brill. Can you state
23 your name and business address for the record, please?

24 A Yes. My name is Edward R. Brill. My
25 address is 272 East Virginia Avenue, Punta Gorda,

1 Florida.

2 Q Mr. Brill, are you the same Ed Brill that
3 caused to be prepared prefiled rebuttal testimony
4 dated September 22, 1997, in this docket?

5 A Yes, I am.

6 Q And Mr. Brill, if I asked you the questions
7 contained in that testimony today, would your answers
8 be the same?

9 A Yes.

10 MR. LOGAN: Commissioner, I'd move that the
11 prefiled rebuttal testimony of Mr. Brill be inserted
12 into the record as though read.

13 COMMISSIONER CLARK: The prefiled rebuttal
14 testimony of Mr. Edward R. Brill will be inserted into
15 the record as though read.

16

17

18

19

20

21

22

23

24

25

1 BEFORE THE PUBLIC SERVICE COMMISSION
2 FLORIDA POWER & LIGHT COMPANY
3 REBUTTAL TESTIMONY OF EDWARD R. BRILL
4 DOCKET NO. 970512-EU
5 SEPTEMBER 22, 1997
6

7 Q Please state your name and business address.

8
9 A Edward R. Brill and my business address is 272 E.
10 Virginia Avenue, Punta Gorda, Florida 33950.
11

12 Q What is your occupation?

13
14 A I am a Power Quality Specialist in the Customer Service
15 Commercial/Industrial Department of Florida Power & Light
16 Company. I am also a registered Professional Engineer.
17

18 Q Please describe your educational background.

19
20 A I have a Bachelor of Science Degree in Electrical
21 Engineering from Florida Atlantic University, 1987. I
22 also have a Bachelor of Science Degree in Business
23 Administration from Bryan College, Dayton, Tennessee, in
24 1983.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Q Please describe your professional background.

A I began my career at FPL in 1983 in the customer service department and worked in various capacities in marketing and distribution engineering. Since 1989 I have worked as a Power Quality Specialist, performing analyses at over 600 commercial and industrial customers' facilities to recommend solutions to power quality problems affecting customer's equipment and operations. I am presently responsible for FPL's southwest Florida area.

Q What is the purpose of your testimony?

A The purpose of my testimony is to describe the character of the dual service proposed by FPL and the advantages of FPL's service over the load management generator service proposed by Clay Electric.

Q Clay Electric testifies there is a difference in the character and quality of service provided by their three-phase line and load management generators when compared to FPL's proposal for dual service to River City Plastics. In Mr. Herman Dyal's testimony, beginning on

1 page 5, line 14 and concluding on page 7, line 7, Mr.
2 Dyal asserts the "load management generators offer the
3 only solution for dramatically reducing exposure to power
4 interruption as well as providing power in case of
5 failure to transmission system". Do you agree with Mr.
6 Dyal's statements?
7

8 A No. No one can anticipate all momentary interruptions or
9 faults which might occur on the utility lines and the
10 backup generators being proposed by Clay Electric.
11 Clay's system will do nothing to protect the customer's
12 load from unanticipated faults on the line, including
13 unanticipated weather related faults. The generators
14 will be expensive to install, operate and maintain and
15 will not resolve the customer's problems with
16 interruptions. The advantage of FPL's proposed dual
17 throwover system is that if a fault occurs on the primary
18 service, FPL will be able to transfer to the backup
19 service in less than the 12-18 cycles, which Mr. Dyal
20 states is the customer's threshold. FPL's proposed
21 throwover system is better in eliminating unanticipated
22 interruptions than what Clay is proposing since Clay's
23 system will eliminate none of them shorter in duration
24 than one minute. According to Mr. Dyal, Clay's system

1 with load management generators will take up to a minute
2 to transfer the customer's load after experiencing a
3 fault on their distribution system. In fact, according to
4 Clay's Load Management Generator Contract, the customer
5 may have to call to advise Clay to dispatch the generator
6 in the event of an unanticipated interruption. In
7 contrast, when unanticipated interruptions occur on FPL's
8 distribution line, FPL's switch will automatically
9 transfer in 8.5 cycles or .14 seconds. Clay's assertion
10 that RCP will be able to anticipate interruptions before
11 they occur is possible, in some cases, but will be
12 uneconomical. No one can anticipate when unexpected
13 faults such as lightning, vehicle accidents, animals,
14 trees, equipment failure and human error will occur.
15 Also, the proposed equipment that Clay is providing for
16 inclement weather is susceptible to equipment failures
17 and problems just as is any electrical equipment, i.e.
18 lightning damage.

19
20 Q Mr. Dyal states in his testimony on page 7, lines 2-4,
21 "The dual feed would only provide service in the case of
22 a failure in the primary distribution or substation but
23 would do nothing for a transmission failure". Do you
24 agree with this statement?

1
2 A Yes and no. When FPL has a transmission interruption,
3 both FPL and Clay will see the outage since Clay's
4 substation is fed from FPL's transmission. If the
5 transmission interruption is less than one minute, both
6 proposed systems would see the same event. The only
7 advantage of Clay's system is that when the transmission
8 system is out longer than the one minute Clay says it
9 takes to start the generator, the customer will have
10 power on Clay's system, but not on FPL's system.
11 However, based on the historical data of FPL's Baldwin-
12 Columbia 115 kv transmission line, there have been only
13 three (3) transmission outages since 1992. The longest
14 outage duration was 14 minutes, which occurred during the
15 March 13, 1993 "Storm of the Century". The other two
16 interruptions in the five-year period were a two-minute
17 and a three-minute interruption. For the last five years
18 there have been an average of three (3) momentary
19 interruptions per year on the system. Based on this
20 information, FPL's proposed service will actually be an
21 advantage over Clay's proposed service with generators
22 because the possibility of a momentary interruption of
23 less than one minute is far greater than an interruption
24 lasting longer than one minute and FPL's system will
25 eliminate virtually all distribution momentary

1 interruptions that might affect RCP according to Mr.
2 Dyal's 12-18 cycle criteria.

3
4 Q In Mr. Dyal's testimony on page 5, line 5-7, he states
5 "they felt the generators would provide them an on-site
6 power source which would be the most reliable in times of
7 inclement weather" and the "ultimate reliability which
8 they need". Also on page 8, line 1, Mr. Dyal states,
9 "generators offer the only true alternative to
10 significantly lowering River City Plastics exposure to
11 storm related outages". Do you agree with these
12 statements?

13
14 A No. FPL's proposed throwover system will be able to
15 transfer to the backup feed in 8.5 cycles when a fault
16 occurs, while Clay's system would only help the customer
17 if they were on the generator during the time an
18 interruption occurs. The generators are reliable when
19 they are already on line prior to a fault. This gets
20 into a guessing game as to whether an anticipated storm
21 will cause an interruption. With the amount of lightning
22 activity in the State of Florida, there will be 70-80
23 days per year when Clay and the customer would have to
24 make a decision of whether the storm will or will not

1 affect the distribution line. Mr. Dyal's testimony tells
2 us that the generator cannot come on line quickly enough
3 in the event of loss of power to prevent the customer
4 from seeing a momentary interruption. The customer has
5 indicated that he is relying on his ability to predict
6 when momentary interruptions will occur based on weather
7 conditions. Even if weather is the cause of a momentary
8 interruption, these weather conditions may be outside the
9 immediate vicinity of the customer. Our experience
10 tells us that momentary interruptions are not always
11 associated with inclement weather conditions. Therefore,
12 it would be a very difficult and costly decision to be
13 guessing how far away a storm is before switching to
14 generator power and how long to run the generators to
15 avoid an interruption that may or may not occur at that
16 time. The only way River City Plastics can significantly
17 lower its exposure to all storm related outages is to be
18 on the generators continuously during the 70-80 storm
19 days in north Florida and also days when weather can
20 affect the transmission line. The cost for this
21 generator operation protection would be prohibitive.

22
23 Q Mr. Dyal asserts in his testimony on page 5, lines 20-24
24 that, "Clay is offering an innovative service that takes

1 into account the unique operational needs of the customer
2 through the use of load management generators for back-up
3 as well as load management, which when coupled with
4 Clay's three phase service is clearly a superior method
5 of providing the required service." Do you agree that
6 Clay's service proposal is superior to FPL's dual
7 throwover service?

8
9 A No. Based on Mr. Dyal's statement that a loss of power
10 for 12-18 cycles is considered an outage to River City
11 Plastics, the proposed dual feed service from FPL will be
12 superior, because of the fast transfer time between
13 feeders of less than 12 cycles. The advantage of Clay's
14 proposed system exists if Clay and the customer can
15 predict ahead of time when an interruption will occur on
16 Clay's distribution system and FPL's transmission system,
17 which would be difficult to do at best. The other
18 advantage would occur when FPL's Baldwin-Columbia 115 kv
19 transmission line is out for longer than one minute, the
20 customer would have power on Clay's generator system but
21 not on FPL's system. The historical data shows that this
22 has been a highly unlikely occurrence. Based on Clay's
23 proposed system, someone must invest a large amount of
24 money, not only to purchase and install the system, but

1 also to maintain and operate it, as discussed in Mr.
2 Noble's Testimony. With the amount of lightning activity
3 in Florida, the generators will have to run for many
4 hours during the 70-80 days per year we experience
5 lightning. This will require many thousands of gallons
6 of fuel as well as an aggressive maintenance plan to have
7 the generators operating in this mode. With all this,
8 there is still no guarantee that they will guess right to
9 avoid anticipated outages and no benefit at all for
10 unexpected faults. And with all this expense, River City
11 Plastics will only gain three minutes of additional
12 reliability per year, based on FPL's last five year's
13 history of transmission reliability. FPL's proposed
14 system will provide superior service for the customer
15 because of the very fast (less than 12 cycle) transfer
16 time for distribution interruptions and will be a much
17 more cost effective system, both in initial capital cost
18 and in operating and maintenance costs.

19
20 Q Does this conclude your testimony?

21
22 A Yes

1 BY MR. LOGAN:

2 Q Mr. Brill, do you have a summary of your
3 testimony?

4 A Yes, I do.

5 Q Could you provide that to the Commissioners
6 at this time.

7 A Good afternoon. As stated earlier in my
8 earlier deposition, I'm a power quality specialist for
9 Florida Power and Light. And what I do is I deal with
10 our large commercial industrial customers, such as
11 River City Plastics, as well as multiple others, on
12 power quality related problems that can affect their
13 operations and their business.

14 And based on the testimony that was provided
15 by Clay, previous testimony, where the customers
16 expressed interest to avoid interruptions that occur
17 in the 12 to 18 cycle range, I have two points to
18 make.

19 The first one is I believe that our proposal
20 is a much more cost-effective solution for avoiding
21 momentary interruption in the 12 to 18 cycle range by
22 employing a transfer switch that can automatically
23 transfer from a preferred feed to an alternate feed in
24 less than that amount of time.

25 The switch that we're referring to that

1 FPL's engineering group in the distribution area has
2 decided is a switch we're going to go with, is spec'd
3 out to transfer in less than that amount of time. And
4 the test data from the manufacturer is that in the
5 area of nine cycles plus or minus one cycle, which is
6 below the 12 to 18 cycle threshold that Clay has said
7 they are -- customer is susceptible to.

8 Because of the neighborhood cost of the
9 switch of the \$40,000 range, compared to the cost of
10 the generators, for the purpose of avoiding
11 interruptions or gaining the customer the avoidance of
12 any type of interruption that can occur on a system, I
13 believe our solution is a much more cost-effective
14 solution and will give the customer a higher
15 reliability.

16 That brings me up to the second point that I
17 was going to make as far as the use of these backup
18 generators as a way of avoiding momentary
19 interruptions.

20 The proposal that we sought as far as the
21 way to avoid these interruptions is for the customer
22 to deploy the generators when they feel that weather
23 related activity might generate an interruption on the
24 system. Just based on historical data that we
25 monitored that thunderstorms that are located 70 to 80

1 miles away from the customer's facility, have in the
2 past generated an interruption to the customer. If
3 you were to look at the number of the lightning days
4 in the state of Florida, which in this area where the
5 customer is going to be located, is in the vicinity of
6 70 to 80 days per year, the number of hours that you
7 would have to be running on the generator to avoid an
8 interruption that may or may not occur, is going to
9 require a lot of fuel, a lot of time on the generators
10 to try to avoid an interruption.

11 Based on the customers that I've worked
12 with, which is in the vicinity of 600 to 700
13 industrial customers in Florida Power and Light's
14 service territory, I've never had a customer use
15 backup generators to avoid momentary interruptions
16 because of the cost to operate and the unlikelihood
17 that you're going to guess right, or if you do, that
18 the time frame is going to be significant.

19 Based on the historical data that Bob Hood
20 has presented on this line that the customer is going
21 to be served from, the number of interruptions have
22 been minimal, and the number of momentary
23 interruptions that the customer would be able to avoid
24 are very few in the past several years. So the cost
25 of the generators is really very hard to justify to

1 avoid this number of interruptions that has occurred
2 on that system.

3 MR. LOGAN: Tender the witness for cross
4 examination.

5 COMMISSIONER CLARK: Mr. Haswell.

6 MR. HASWELL: Thank you.

7 CROSS EXAMINATION

8 BY MR. HASWELL:

9 Q Good afternoon, Mr. Brill.

10 A Good afternoon.

11 Q You first became aware of this docket just
12 about a month before your deposition was taken, am I
13 correct?

14 A Yes, sir.

15 Q And your deposition was taken on October
16 2nd?

17 A Yes, sir.

18 Q And you were asked by somebody in your
19 company to give an opinion about whether the proposed
20 service from Clay Electric was superior based on
21 specifications that were given to you; is that
22 correct?

23 A Yes, sir.

24 Q Okay. And those specifications that you
25 were furnished were those being the testimony of

1 Mr. Dyal and information from you were distribution
2 group?

3 A Correct.

4 Q Okay. You're located in Southwest Florida;
5 is that correct?

6 A Yes.

7 Q Punta Gorda?

8 A That's where my office is, yes, sir.

9 Q So your division goes to the cover Baker
10 County?

11 A No, it does not.

12 Q And the power quality specialist for Florida
13 Power and Light covering the region of Baker County is
14 located in Fort Lauderdale; is that correct?

15 A At the present time.

16 Q And you, personally, haven't done any power
17 quality work in North Florida?

18 A No, sir.

19 Q And it's also true that you've recommended
20 the use of generators for backup and other uses,
21 haven't you?

22 A Yes, sir.

23 Q And the other uses that you've recommended
24 for would include the ability of a customer to have
25 power during a long-term power outage?

1 A Correct.

2 Q All right. And the kinds of customers that
3 would request those according to you were hospitals
4 and industrial customers like radio and TV stations?

5 A Yes.

6 Q And you've worked with three other plastic
7 pipe manufacturing companies regarding power quality;
8 isn't that true?

9 A Yes, sir.

10 Q And one of those is World of Plastics in Ft.
11 Pierce?

12 A Correct.

13 Q And you have been aware they had some power
14 quality issues related to power interruptions there?

15 A When I was in that area five years ago, yes.

16 Q And those issues involved a number of
17 momentaries that the customer experienced each year;
18 is that true?

19 A Correct.

20 Q And some of those years there were more than
21 20 momentaries and some there were less than that?

22 A From the historical data, yes, sir.

23 Q Right. Now, you also agreed, don't you,
24 that you cannot anticipate actual faults, but you can
25 predict based on weather and past experience when

1 there will be an increase in the probability of a
2 momentary; isn't that true?

3 A Correct.

4 Q Now, wouldn't an anticipated fault be one
5 that could be based on large weather system approached
6 where there would be an increased chance of a
7 momentary?

8 A Yes. And the issue there is how far away
9 before you deploy your generators. And like I said,
10 from past experience 70 to 80 miles away has been a
11 far enough occurrence to affect our customers. Just
12 taking last night for an example in Tallahassee, you
13 would have to probably be on your generators from 3 or
14 4 in the afternoon to about 8 o'clock last night. And
15 in many of the cases where I was last night there were
16 no interruptions during that time, so there would have
17 been seven, eight hours, or five, six hours you'd have
18 had to run the generator. And the likelihood is maybe
19 there would have been and maybe there wouldn't have
20 been during that time.

21 Q But if you were on them, the customer could
22 have avoided anticipated fault that would have
23 occurred on your system?

24 A If he was on the generator during the time
25 that an interruptions occurred.

1 Q Well, what would you care if the customer
2 wanted to do that?

3 A We wouldn't care. We have customers that
4 have the right to do that right now.

5 Q Okay. Now, you say a storm day -- you were
6 talking about the storm days in your testimony and
7 about how many storm days there were. And that's a
8 day that you can hear lightning from where you are at?

9 A Correct.

10 Q Wouldn't that variable would be just how
11 good your hearing is?

12 A That's just the isochronic map that defines
13 the number of lightning days for every area of the
14 country. And for the state of Florida, depending on
15 where you're at, there is 70 to 100 lightning days per
16 year. And they are defined that it's lightning that
17 you can hear the thunder from where you are at.

18 COMMISSIONER CLARK: It's so scientific.

19 Q (By Mr. Haswell) You agree that if River
20 City Plastics was running on a generator isolated from
21 Clay Electric's system or from Florida Power and Light
22 system, it's exposure to weather related outages would
23 be reduced?

24 A Again, yes. We said that is correct based
25 on the ability to do that. It's just the fact that

1 the number of hours per year you'd have to be trying
2 to do that is very uneconomical from a customer's
3 standpoint.

4 Q Okay. Now, you've also said that FPL's
5 switch and I'm not sure --

6 MR. HASWELL: Mark, did you distribute the
7 specifications for this when you were talking to
8 Mr. Dyal? I don't want to do two sets of them.

9 MR. LOGAN: No. I have some extra.

10 Q Now, Mr. Brill does this -- do you recognize
11 this as your Late-filed Exhibit 1 to your deposition?

12 A Yes.

13 Q And this was prepared at or in accordance
14 with your instructions and directions?

15 A Yes.

16 Q It's the same one you submitted back to the
17 Staff at their request?

18 A It came back from the manufacturer.

19 Q Okay. In your testimony you've indicated
20 that this switch will automatically transfer in -- I
21 may be referring to your deposition I'm not sure
22 here -- 8.5, or .14 seconds?

23 A That's correct. That's based on FPL test
24 data.

25 Q Okay. Where is that test data? I believe

1 Staff asked for that. That wasn't submitted with the
2 exhibit. Do you have that test data with you?

3 A No, I don't.

4 Q Have you seen any?

5 A I have not seen the FPL test data, no.

6 Q But you know some exists?

7 A I know that FPL ran a test on the switch and
8 they showed the test of 8.5 cycles of transfer time.
9 When the request came until we went to the
10 manufacturer and asked him for test results, and this
11 is what the manufacturer gave us in response to that
12 request.

13 Q When was that test done?

14 A The FPL test?

15 Q Yes.

16 A I think we've done several tests over the
17 past year or so, but I'm not sure. I'd have to refer
18 to Bob Hood.

19 Q You heard Mr. Hood refer to a field test
20 earlier today?

21 A Correct.

22 Q Was that done in the last month or two?

23 A I'm not sure of the date that that occurred.

24 Q In your experience -- you're a professional
25 engineer?

1 A Yes.

2 Q What does the difference between a field
3 test and certified test mean?

4 A A field test is one that someone runs
5 without test equipment that's been calibrated and
6 brought up to a certain national standard. Whereas a
7 certified test is one that the manufacturer or the
8 testing facility would certified as correct.

9 Q And that's not part of your late-filed
10 exhibit, that certified testing.

11 A The only thing is what you've got in front
12 of you that we got from the manufacturer.

13 Q Okay. Now, even if the switch was there and
14 operated, isn't it true that River City Plastics would
15 still experience an interruption of electricity?

16 A Correct.

17 Q How does the switch that FPL -- how does
18 this power -- excuse me, Powell-ESCO switch sense a
19 fault, do you know?

20 A It has circuitry that's built into the
21 switch that senses when voltage goes below a certain
22 magnitude, that it will begin the transfer procedure
23 to transfer from the preferred source, which is the
24 preferred feeder, to the alternate or backup feeder
25 that's also coming into the switch from the other

1 feed.

2 Q Okay. Now, when I asked you that same
3 question as your deposition -- do you remember you
4 were deposition?

5 A No, but I have a copy of it in front of me.

6 Q If you look at Page 18,

7 A This is the phone deposition?

8 Q Yeah. Maybe I can avoid doing that. Since
9 I asked you that question at your deposition, have you
10 referred to manufacturer's specification or details?

11 A From this manufacturer?

12 Q Right.

13 A Yeah, the same copy that was given to the --
14 I guess it's listed as Exhibit 1 Late-filed from E. R.
15 Brill, docket number --

16 Q When I asked you that question the last time
17 you didn't answer it. You said you'd have to refer to
18 the manufacturer of the switch.

19 A Correct. This was done after that phone
20 deposition.

21 Q Okay. Then help me with this one. Where on
22 this diagram does it say how it senses a fault?

23 A It doesn't in the document. I didn't know
24 that's what you were looking for.

25 Q Do you have any idea who Whipp & Bourne are?

1 A No, I don't.

2 Q Okay.

3 A That's the name given by the manufacturer to
4 the switch.

5 Q All right. They are not two guys that work
6 for Florida Power and Light?

7 A Not as far as I know.

8 Q You heard Mr. Dyal talking about how this
9 switch appears to him to work. Do you agree with it,
10 when it's in the bypass mode, that it actually closes
11 in the alternate feed without actually opening the
12 first faulted feed?

13 A No, I disagree with that.

14 Q Tell us how you think it works.

15 A The manufacturer has stated to us that when
16 the switch senses a fault and goes through its time
17 delay of how long it's going to sense that fault, it
18 begins to open the switch at the preferred feed before
19 it closes the switch of the alternate feedback into
20 the customer. So there is an interruption, there is a
21 break before it makes contact to the alternate feed.
22 We would not accept a switch that didn't do that.

23 Q So basically you're saying that at no time
24 would this switch --

25 A There would be no paralleling on the faulted

1 line.

2 Q Okay. Then what does -- which mode is that
3 you just referred to?

4 A That's when a fault occurs that brings the
5 voltage down on the preferred feed.

6 Q Is that called bypass or non-bypass?

7 A That's neither one. The bypass and
8 non-bypass is just a timer that's built into the
9 switch that can bring that time delay down from 12
10 cycles to 8.5 to nine cycles. So by having the bypass
11 switch in the bypass mode, you bypass that one timer
12 that would allow the switch to transfer quicker than
13 when you're in the non-bypass mode. They are stating
14 in here that the non-bypass mode is 12 cycles plus or
15 minus one cycle, and the bypass mode is nine cycles
16 plus or minus one cycle. So that's the difference
17 between the bypass mode and at non-bypass mode.

18 Q Okay.

19 MR. HASWELL: Commissioner, could we mark
20 this or identification?

21 COMMISSIONER CLARK: Yes. We'll mark it as
22 Exhibit 13 and it's the Late-filed Exhibit for
23 Deposition of Mr. Brill, and its Specification for
24 Automatic Throwover Switch.

25 (Exhibit 13 marked for identification.)

1 MR. HASWELL: I have just a few more
2 questions.

3 Q (By Mr. Haswell) You have already told us,
4 haven't you, at your deposition that you don't know if
5 this switch exists anywhere in FPL's system.

6 A That's correct.

7 Q And can you tell us whether or not that was
8 the question, is whether you know it is. Do you know
9 that there's not one in your system?

10 A I know that there's not one right now that's
11 set for the 8.5 cycles.

12 Q Do you know the susceptibility of this unit
13 to failures?

14 A No. From our engineers, again, that's a
15 requirement before they would spec a switch, they
16 would go through and run those kind of tests and
17 requirements before they would accept a switch. So it
18 has at least as good of a requirement as our older
19 switch.

20 Q Okay. How would you crank this thing down
21 to operate at 6.5 cycles as Mr. Hood says it could be
22 done?

23 A The manufacturer tells us there's another
24 timer in the switch that can be bypassed.

25 Q But it's not shown on the specification?

1 A No, because we wouldn't accept the switch
2 with that --

3 Q Okay.

4 A -- that bypass and it would be too fast for
5 what our system would require.

6 Q Now, with the switch operating, let's say,
7 according to its specifications, what would prevent
8 the alternate feed from being available?

9 A A transmission level interruption. In other
10 words, both feeders come out of the same substation
11 off a different transformers, as was stated earlier,
12 if the feed coming into both of those transformers is
13 out, then both feeds are out and it wouldn't transfer
14 because there would be no alternate available.

15 Q Okay. Now, does this switch in your opinion
16 operate the same as a standard throwover switch?

17 A Yes, as far as the operation, correct.

18 Q Do they usually run it at this level of 10
19 cycles or less?

20 A No, we haven't in the past. Because of our
21 breaker settings in the substation, the customer was
22 going to see an interruption anyway. With the older
23 switch that we didn't feel it was necessary to bring
24 that time faster because it wasn't fast enough to help
25 our customers.

1 Q Okay. And to your knowledge Florida Power
2 and Light has never done a cost/benefit analysis of
3 installing generators at FPL's cost for a customer?

4 A Not in my experience, no.

5 MR. HASWELL: Thank you. I have no further
6 questions.

7 COMMISSIONER CLARK: Staff.

8 CROSS EXAMINATION

9 BY MS. JAYE:

10 Q Mr. Brill, I have a question for you. Still
11 looking at your late-filed exhibit, if you would
12 explain how long this new standard has been in place.
13 You call this FPL's new standard switch, how long has
14 that been in place?

15 A I don't have that information. That would
16 probably be Bob Hood's area of expertise.

17 MS. JAYE: No further questions.

18 COMMISSIONER CLARK: Commissioner Garcia.

19 All right. Redirect.

20 MR. LOGAN: Just a couple questions.

21 REDIRECT EXAMINATION

22 BY MR. LOGAN:

23 Q Mr. Brill, I believe there's been some
24 testimony today about the occurrence of what I'll
25 called repeated momentaries. There would be the

1 initial momentary and then subsequent momentaries that
2 would occurrence. Can you tell me how this particular
3 switch would respond to those circumstances?

4 A Yes. The customer stated the big concern of
5 once they've seen a momentary interruption they want
6 to be able to use the generators to bring that system
7 back up, because in their previous experience they
8 have seen multiple interruptions over the course of a
9 storm-related event. In other words, a storm comes
10 through, lightning hits the line, it causes a
11 momentary; as that storm continues to pass through the
12 area a few minutes later it's possible that the
13 lightning can hit the line again and cause a second
14 momentary. So the customer's concern was once they
15 experienced one, they'd like to avoid experiencing
16 multiple interruptions while they get their assembly
17 line back up.

18 And based on the statistical data that Bob
19 Hood present that's only occurred twice in a two-year
20 period: Once in January of '95 and once in February
21 of '96 where we had more than one momentary
22 interruption back to back within a few minute period
23 or within even a few hour period.

24 Q And tell me how the throwover switch would
25 work in that situation.

1 A Once it sensed a fault on the preferred
2 feed, it would transfer to the alternate feed in the
3 8.5 to 10 cycles. Once it's transferred over to the
4 alternate feed, it would stay there until the voltage
5 stabilized on the main feed. And once the voltage
6 stabilized, it would transfer back to the preferred
7 feed without interruption to the customer.

8 Q And what would the time be necessary to
9 ensure stabilization of the primary feed?

10 A It really wouldn't matter because if the
11 line was stabilized for a minute and we transferred
12 back to the preferred feed, and another interruption
13 were to occur, the switch would transfer back to the
14 alternate feed in the less than the eight to ten
15 cycles, and customer would experience an interruption
16 of less time than the previous deposition information
17 they gave us as far as the 1 1/2 to 18 being the
18 threshold. So the customer wouldn't experience an
19 outage with the multiple hits on the same feed.

20 MR. LOGAN: No further questions.

21 COMMISSIONER CLARK: Exhibits.

22 MR. HASWELL: I move 13.

23 COMMISSIONER CLARK: Without objection
24 Exhibit 13 is admitted in the record.

25 Thank you, Mr. Brill. You're excused.

1 We'll take a ten-minute break and we'll begin with
2 Mr. Dyal.

3 (Exhibit 13 received in evidence.)

4 (Brief recess taken.)

5 - - - - -

6 COMMISSIONER CLARK: Staff, we might be able
7 to stipulate the next two witnesses. And if that's
8 the case, Commissioner Garcia will be here in just a
9 minute, but I think we can go through the formalities
10 without him here. And we will have to check and make
11 sure he has no questions to ask those witnesses, and I
12 don't think he will.

13 MR. HASWELL: On Mr. Dyal, we were going to
14 do the explanation of this, so we'd want to call him
15 up just for that purpose.

16 COMMISSIONER CLARK: That sounds good.

17 MR. HASWELL: We can do that now.

18 COMMISSIONER CLARK: Why don't we do that.

19 All right.

20

21

22

23

24

25

1 **COMMISSIONER CLARK:** There are no exhibits.
2 Okay. And his testimony has been stipulated into the
3 record, and I understand, therefore, there is no cross
4 examination.

5 **MR. LOGAN:** Yes.

6 **MR. HASWELL:** That's correct.

7 **COMMISSIONER CLARK:** All right.
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 Q Please state your name and business address.

2 A Herman Dyal, Clay Electric Cooperative, Inc., Post Office Box 308, Keystone
3 Heights, Florida 32656.

4

5 Q Are you the same Herman Dyal that filed prepared direct testimony in this case?

6 A Yes I am.

7

8 Q Have you had the occasion to review the direct testimony and exhibits of Robert A.
9 Hood who filed testimony on behalf of Florida Power and Light Company ("FPL")?

10 A Yes I have.

11

12 Q What is the purpose of your testimony?

13 A To rebut Mr. Hood's direct testimony as it relates to claims by FPL directly or by
14 implication that its proposed service to River City Plastics will provide the same
15 character and quality of service as that offered by Clay Electric, to question the costs
16 that Mr. Hood claims would be expended by FPL as well as his statements regarding
17 future growth in the area, and his claims about uneconomic duplication.

18

19 Q Do you have any experience and expertise in pricing and costing of distribution,
20 substation, and transmission facilities?

21 A Yes I do. I have been working in the electric utility business for over 24 years, as
22 a licensed professional engineer. I have extensive experience and knowledge in the
23 planning and determining of what facilities and equipment are necessary and prudent
24 for providing electric service to customers and those facilities of the electric utility
25 that are needed for the utility's system to provide the character of service requested

1 by a customer. Part of that process involves determining what the cost of the
2 equipment will be, as well as doing an economic analysis of the revenues that are
3 required to justify the costs and cost recovery.

4

5 Q Would you please go ahead and discuss your areas of disagreement and rebuttal?

6 A Mr. Hood does not accurately answer the question of who has historically served the
7 area or its vicinity. The specific site of the River City Plastics plant has not been
8 served by either utility. We do agree that both of us serve in the vicinity of the site,
9 but as I indicated in my direct testimony, Clay Electric has and continues to serve
10 the areas immediately east of the site as well as areas south, north and northeast.
11 FPL basically has elected to serve to the west of the site and into the community
12 of Sanderson.

13

14 Q Does Mr. Hood appear to claim the right to serve areas already served by Clay
15 Electric?

16 A Yes he does. He claims, on page 8 of his testimony, that the Wiremill substation was
17 built by FPL to serve additional customers in the undeveloped area of the substation
18 and the surrounding areas both east and west. If he goes east past his substation
19 he will be in our service area where we have existing customers and have served
20 them for many years. For FPL to do so would require it to uneconomically duplicate
21 our facilities.

22

23 Q Do you have any comments on Mr. Hood's reliability claims that there have been no
24 outages at the Wiremill substation in the past five years?

25 A Well first he limits his answer to outages caused by substation equipment. He did

1 not say there were no outages. He did not disclose that on July 12 of this year the
2 Wiremill substation experienced a major outage that affected the Florida Wire and
3 Cable facility. Hopefully FPL will disclose that in their discovery response to us, as
4 well as the actual number of outages regardless of the cause. We really cannot fully
5 evaluate FPL's reliability other than to note at this time that there have been more
6 outages than Mr. Hood admits.

7

8 Q What about the reliability of the Baldwin-Columbia transmission line of FPL?

9 A The Wiremill substation is not served directly from the Baldwin-Columbia
10 transmission line. It is served off a radial tap two miles long. When that tap is out,
11 Wiremill substation is out. The tap runs along Rhoden Road which is shown on my
12 Exhibit ^{COMP} 9 (HD-2) and on Hood's Exhibit ^{COMP} 1 (RAH-4). Rhoden Road is a graded
13 county road and FPL's poles are extremely close to the road. It appears that FPL
14 is occupying an easement that is not more than fifteen (15) feet in width. The
15 proximity of the pole line to the road and the prospect of increasing traffic make it
16 a reliability issue for FPL. If FPL plans to add additional service along Rhoden Road
17 to serve River City Plastics, as it proposes, I do not see where they could put the
18 additional facilities unless they underbuild on the existing transmission line, and it
19 does not appear to me that the transmission line tap was designed to handle
20 underbuilt distribution. This gets into his costs if FPL has to modify the transmission
21 line or move the existing poles.

22

23 Q Has there been any discussion about moving FPL's poles on Rhoden Road?

24 A Yes. Baker County wants to improve the road and FPL has told the County the cost
25 to move a single pole is between \$75,000.00 and \$90,000.00. I do not believe that

1 included that cost in their cost estimates. Also, if a vehicle hits one of FPL's poles
2 adjacent to the road, assuming they do not move those poles, it would take at least
3 four (4) to six (6) hours for FPL to repair the damage and restore service, and
4 perhaps even longer depending on where FPL's crews come from to fix the damage.
5 Keep in mind that Clay Electric's Sanderson substation is also served by Seminole
6 Electric Cooperative, Inc. off the Baldwin-Columbia transmission line. If that line is
7 out, both FPL's Wiremill substation and our Sanderson substation will be out.
8 However, if FPL suffers an interruption on its two (2) mile tap, FPL's Wiremill
9 substation will be out, but Clay Electric's Sanderson substation would not be
10 affected.

11
12 Q Mr. Hood also states that FPL will spend about \$104,600.00 for its proposed service
13 to River City Plastics of which about \$40,000.00 is for overhead service and
14 \$64,600.00 is for substation improvements. He says that the improvements that FPL
15 will construct will serve River City Plastics and will take into consideration "the future
16 needs of this customer and future growth in the area". What comments do you have
17 about those statements?

18 A Certainly it is prudent for a utility to construct facilities capable of serving the
19 foreseeable load in an area. Mr. Hood has stated that the projected growth in the
20 area is 1.2 percent. The size of the conductor that FPL proposes to use, as shown
21 on Hood's Exhibit 6, has a minimum capacity of 16 megawatts. Considering the
22 testimony that FPL's Wiremill substation is loaded to 8.5 megawatts, it seems
23 unrealistic to expect this line to reach its capacity within the next thirty (30) years,
24 the useful life of the line. So it appears that the "future needs of this customer and
25 future growth in the area" that Mr. Hood is talking about would require the continued

1 expansion of FPL's facilities into areas already served by Clay Electric and that can
2 be adequately served by Clay Electric.

3

4 Q What about FPL's cost to build the underground feeder and overhead feeder line as
5 shown on Exhibit 6 and as estimated on Exhibit 19?

6 A Those costs appear to be in error on the underground pulloff. This cost appears to
7 be for 1/0, not 1,000mcm as stated. The underground cost should be about
8 \$12,000.00 instead of the \$5,000.00 estimated. Again, FPL appears to have
9 estimated costs using the transmission poles. I am not sure they can build a 568
10 ACSR line on the transmission poles. Consequently they have made no provisions
11 for the additional costs they will have for adjustments to the transmission line.

12

13 Q FPL also indicates that it would add a new substation feeder position in its Wiremill
14 substation consisting of three (3) single phase voltage regulators and associated bus
15 work for \$84,600.00. Do you think that cost is reasonable based on your
16 experience?

17 A I believe Mr. Hood has omitted the additional cost for a breaker for this feeder
18 position. It is my opinion that a realistic cost estimate would be as follows:

19	Breaker	\$20,000.00
20	Regulators	\$75,000.00
21	Buswork and labor	\$40,000.00
22	Total	\$135,000.00

23 If FPL plans on using the existing breaker which appears it is now using as a transfer
24 breaker, it will no longer have a dedicated breaker for this use.

25

1 Q Is FPL capable of providing adequate and reliable service to River City Plastics as
2 Mr. Hood states?

3 A Well FPL obviously has the substation capacity available. However, as I have said
4 before, regarding the substation improvements and primary service facilities that
5 need to be constructed, there appears to be some serious questions as to how FPL
6 can build what it needs to build on the available easement area without putting those
7 facilities in danger of traffic related outages. After reviewing the load projections it
8 seems that FPL's existing capacity has been the result of poor planning and
9 excessive investment costs. Obviously FPL's ratepayers have been paying for this
10 excess capacity. The system planned by FPL will not provide the type of service the
11 customer is requesting. River City Plastics is requesting the capability to be isolated
12 from the electric supplier in cases of inclement weather as well as having a
13 continuous source of power in the event of a catastrophic failure on the electric
14 system whether it is distribution, substation or transmission related. River City
15 Plastics' production schedule runs 24 hours a day, 7 days a week. Based on the
16 customer's need, it is my judgment that FPL will not provide the adequate and
17 reliable electric service that the customer requests.

18
19 Q What about Mr. Hood's claim that the number of interruptions seen by a customer
20 is inversely proportional to the length of the line serving the customer?

21 A I strongly disagree with that statement. Interruptions on a line are a factor of the
22 terrain that the line traverses, its exposure to outside damage such as weather,
23 trees, vehicles, etc., and the maintenance a utility performs on the line. Certainly
24 the longer the line is exposed to weather conditions, traffic and trees if they are
25 present may increase the chances and opportunities for interruptions. However, they

1 are not inversely proportional. A line that runs 2,950 feet through the woods, or
2 immediately adjacent to a road, and that is subject to contact with trees or vehicles
3 may be less reliable than a line that runs two (2) or three (3) miles through open
4 fields, away from trees or traffic. Also a longer line that is closer to a utility's repair
5 crew facilities may be more reliable than a shorter line that is farther away from the
6 utility's repair crews.

7

8 Q FPL has claimed that it can offer River City Plastics several different scenarios for
9 backup service or dual feed. What are your comments regarding Mr. Hood's
10 statements?

11 A The only service acceptable to River City Plastics is the backup generators. In fact,
12 the other two scenarios are not viable options at all. Those scenarios offer varying
13 choices of preferred and backup distribution lines to an automatic throw over switch.
14 They provide no means for River City Plastics to operate in case of a failure in the
15 substation or transmission line. Outages in either of these areas could be extensive,
16 at least four (4) to six (6) hours or more depending on the damage and where FPL's
17 repair crews are located.

18 Under scenario two stated by Mr. Hood, the overhead feeder with the overhead
19 feeder backup, FPL proposes to provide the backup feeder on a separate pole line
20 as shown on Exhibit 8. It is my opinion that FPL would have problems building the
21 backup line to the north of the existing transmission line as shown. Baker County
22 owns the undeveloped property and has been unwilling to grant any easements on
23 this property. It appears that the only viable route for FPL would be south on
24 Rhoden Road where they would have to cross back and forth under the existing
25 transmission line. Again, FPL has included no costs for this. They would also have

1 to clear additional right-of-way.

2

3 Q Do you agree with Mr. Hood's costs for option number two as stated on page 15 of
4 his testimony beginning at line 7?

5 A No I do not. It is my opinion that the costs for option number two to FPL should be:

6	Preferred overhead feeder	\$55,000.00
7	Backup overhead feeder	\$39,600.00
8	Substation costs	\$135,000.00
9	Throw over switch	\$40,000.00
10	Total	\$269,600.00

11

12 Q What about the cost for option number three?

13 A I disagree with his projected costs and it is my opinion those costs should be:

14	Underground feeder	\$80,281.00
15	Backup overhead feeder	\$39,600.00
16	Substation costs	\$135,000.00
17	Throw over switch	\$40,000.00
18	Total	\$294,881.00

19

20 Q Mr. Hood claims that FPL has the capability of providing adequate and reliable
21 backup or dual feed service to River City Plastics. Do you agree with that
22 statement?

23 A No. Again, FPL is not offering the customer the service it is requesting. Mr. Hood
24 also claims that either of those two options for backup service will be "extremely
25 reliable". I do not know exactly what kind of throw over switch they are proposing

1 to provide, but to avoid a momentary outage on transfer, they must be willing to
2 parallel the feeders, this is not a normal mode of operation.

3

4 Q What about Mr. Hood's comments that there is no reliability provided by a generator
5 as backup or dual service?

6 A Again, FPL totally misunderstands or refuses to consider the customer's request.
7 The customer has repeatedly stated that it understands and accepts reasonable
8 amounts of isolated momentary interruptions. The service that River City Plastics
9 wants is the ability to keep its production facility running at all times regardless of
10 problems on the electric system whether it is Clay Electric's or FPL's. River City
11 Plastics optimum operating condition is a production line running 24 hours a day, 7
12 days a week. Its goal with the generators is to run them isolated from the primary
13 system whenever there is severe weather in the area and in the case of the
14 catastrophic failure of the electric system whether it is weather induced or otherwise,
15 or whether he wants to get his plant back into production as soon as possible to
16 avoid duplicating restart costs when outages and glitches continue to occur during
17 the restart process.

18

19 Q Mr. Hood claims that if FPL is not permitted to serve River City Plastics and this
20 disputed area to the east of its Wiremill substation it would incur a loss of revenues
21 from new customers and refers to the area to the east of the substation as
22 undeveloped. He claims these areas are areas that the Wiremill station was
23 originally planned to serve. What comments do you have about those statements?

24 A FPL indicates that their Wiremill substation was located at its present location to
25 serve growth to the west and to the east. FPL specifically notes the area eastward

1 along Rhoden Road toward Macclenny. I do not understand their claim to this area
2 since Clay Electric has served these areas since 1943, long before the Wiremill
3 substation was built. If they were planning on growth and revenues from this area
4 to support the building of the Wiremill substation I would again question their
5 planning process and prudence for spending the amount of money they obviously
6 spent to build the Wiremill substation at such a high capacity. Also if they are
7 concerned with the costs associated with obtaining private easements versus public
8 rights-of-way, it seems to me that they are ignoring the wasteful duplication of
9 facilities. I do not think there is any doubt that Mr. Hood is stating that FPL claims
10 the right to serve all areas surrounding the Wiremill substation up to its rated
11 capacity. The area surrounding the Wiremill substation will not, in its useful lifetime,
12 support the excessive capacity built into the substation. Consequently what has
13 been the effect on the ratepayers of FPL for the underutilization of the substation for
14 the past twenty (20) years? It appears that FPL's grab for territory east of its
15 substation is an attempt to reverse its overbuilding and underutilization of its facilities
16 at the expense of Clay Electric.

17
18 Q If we look only at the primary or preferred overhead service to River City Plastics and
19 ignore River City Plastics' needs for the generators, who can provide the service at
20 the least cost?

21 A Based even on FPL's understated costs, Clay Electric can serve the customer for
22 a cost of \$98,000.00 as opposed to FPL's costs of \$104,600.00. If we look at
23 realistic costs to FPL and still ignore the cost it will incur in relocating its transmission
24 line or rebuilding it, or acquiring new easements, the cost difference is even greater
25 for FPL at \$135,000.00 and Clay Electric at \$98,000.00. Even if the Commission

1 were to say that the cost difference was "de minimis" then the customer's choice is
2 to be considered. The customer chose Clay Electric.

3
4 Q Will Clay Electric uneconomically duplicate service by FPL if it provides the service
5 requested by River City Plastics?

6 A No it will not. First, FPL has a higher cost to serve at the primary service level.
7 Secondly, FPL has refused to provide the load management generator/backup
8 service that River City Plastics has requested. In that instance alone, we are not
9 talking about the same kind of service. FPL simply has not offered to provide the
10 service that the customer wants. Third, Clay Electric's construction of its facilities
11 is in an area already served by Clay Electric. As the area grows, new load can be
12 served from Clay Electric's existing facilities and those added to serve River City
13 Plastics, as the logical and natural extension and growth of Clay Electric's system.
14 Clay Electric's objective in its planning is not to build more capacity in its substations
15 and distribution facilities that are reasonably necessary for the foreseeable future.
16 To do otherwise would require Clay Electric's members to pay for unnecessary and
17 unused capacity. If anyone has constructed uneconomic facilities it is FPL by
18 installing a 44 megawatt substation in 1976 to serve what twenty (20) years later is
19 an 8.5 megawatt load. Even with River City Plastics on its system, its total load on
20 Wiremill would still be one-fourth (1/4) of its capacity, and that situation could continue
21 for another twenty (20) years.

22 We are serving the areas shown on my Exhibit ^{Q-11P} 9 (HD-1) to my direct
23 testimony. We plan to continue to serve that area and have built facilities to serve
24 as they are needed. We could have built our Sanderson substation at 44 megawatts
25 or even at 25 megawatts twenty (20) years ago, but that would not have been a

1 prudent investment.

2

3 Q What about the cost of the load management generators?

4 A In the first place, FPL has not offered this service, and to compare it in terms of total
5 costs, we would have to consider that Clay Electric's costs to provide the backup
6 generators would be substantially the same as FPL's costs. So at the very least, the
7 cost to the two (2) utilities to provide the service requested by the customer would
8 be substantially the same if we ignore FPL's underestimated costs for primary
9 service. Clay Electric will incur a cost in purchasing the backup generators,
10 however, we have carefully analyzed the economic benefit to Clay Electric and its
11 members for using those generators, and there is a net cost savings to Clay
12 Electric's members for the use of those generators under the existing agreement with
13 River City Plastics. It is a win win situation. Clay Electric's members benefit and the
14 customer benefits.

15

16 Q Does this conclude your rebuttal testimony?

17 A At this time, yes; however, I may have supplemental comments after we have
18 received and reviewed FPL's discovery responses.

19

20

21

22

23

24

25

1 **COMMISSIONER CLARK:** Now, Mr. McCartney.
2 He's filed prefiled rebuttal testimony and we will
3 insert it into the record as though read and cross
4 examination is waived.

5 **MS. JAYE:** Staff would like to have admitted
6 also his Late-filed Deposition Exhibit 1.

7 **COMMISSIONER CLARK:** And we will mark --
8 that's a little bit ahead of it. He does have a
9 exhibit --

10 **MR. HASWELL:** SM-1, which we would also
11 move, and I believe --

12 **COMMISSIONER CLARK:** You're ahead of me.
13 SM-1 will be identified as Exhibit 14 and admitted in
14 the record without objection.

15 (Exhibit 14 marked for identification and
16 received in evidence.)

17 **COMMISSIONER CLARK:** And Staff, you would
18 like to have his Late-filed Deposition Exhibit No. 1.

19 **MS. JAYE:** Yes, ma'am. That would be Outage
20 Information Before 12-1-96 for the Duval Plant.

21 **COMMISSIONER CLARK:** That will be identified
22 as Exhibit 15 and admitted in the record without
23 objection.

24 (Exhibit 15 marked for identification and
25 received in evidence.)

1 **COMMISSIONER CLARK:** Were there any other
2 exhibits for Mr. McCartney?

3 **MR. HASWELL:** No, ma'am.
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 Q Please state your name and business address.

2 A Stafford McCartney, 7167 Old Kings Road North, Jacksonville, Florida.

3

4 Q What is your current occupation?

5 A I am the Executive Vice President and General Manager of River City Plastics, Inc.,
6 a plastic pipe manufacturing plant located in Duval County, Florida.

7

8 Q How long have you held that position?

9 A Seven years.

10

11 Q What other positions have you held at River City Plastics?

12 A I have also held the position of Vice President of Sales.

13

14 Q Please tell us a little about your educational background.

15 A I graduated in 1970 from Polytech of the South Bank (now the University of London)
16 as a diplomate of Plastics Institute.

17

18 Q Do you belong to any professional associations?

19 A I am an executive member and a committee chairman of the Plastic Pipe and Fitting
20 Association. In addition I am a member of the Society of Plastic Engineers, and the
21 Florida Plastics Industry Council, where I serve as a director.

22

23 Q On whose behalf are you testifying in this proceeding?

24 A I am testifying on behalf of Clay Electric Cooperative, Inc., the electric power supplier
25 that we have chosen to serve our new plastic pipe manufacturing plant in Baker

1 County.

2

3 Q What is the purpose of your testimony?

4 A To rebut the direct testimony of Robert A. Hood of Florida Power & Light ("FPL"),
5 particularly his assertions that FPL should be allowed to serve our new plant in Baker
6 County.

7

8 Q You have stated that River City Plastics manufactures plastic pipe. Can you provide
9 us with more detail on what types of pipe, the kinds of customers you sell to, and
10 how the manufacturing process works?

11 A River City Plastics uses a continuous extrusion process to manufacture PVC pipe
12 that is sold to plumbing, irrigation, electrical and utility distributors.

13

14 Q Is your manufacturing process sensitive to interruptions, even momentary
15 interruptions, of electric service?

16 A Yes. The extruders use a very sensitive d.c. drive, and even a very brief power drop
17 will cause the drive to quit.

18

19 Q What happens to your manufacturing process when you have an outage or glitch?

20 A The production lines will each have to be restarted. We have eighteen (18) lines and
21 twenty-three (23) extruders. Each line will produce scrap until it is restrung and the
22 product brought back into specifications. Five (5) of the eighteen (18) lines are
23 particularly sensitive to stoppage because of the nature of the PVC compound used.
24 Power interruption on these lines necessitates disassembly of the extrusion tooling
25 to minimize the corrosive effects of decomposing PVC on the chrome surfaces of

1 the machinery.

2

3 Q In the past two years, what has been your plant's experience with outages and
4 momentary glitches at your Duval County plant?

5 A I have attached an exhibit to my testimony, Exhibit 13 (SM-1), which describes
6 the number of outages and the costs to River City Plastics. Between December 1,
7 1996, and June 30, 1997, our Duval plant experienced 34 outages and a total of 122
8 glitches. The 34 outages are included in the 122 glitches.

9

10 Q So when a glitch, or momentary interruptions causes your production line to shut
11 down, what do you have to do to get it back up and running?

12 A Each production line requires a minimum of two people to restart the process.
13 Depending on available people, and the product type being extruded, the process
14 of restarting and getting the product back into specification will take upwards of eight
15 (8) hours. For the lines to reach equilibrium and optimal operational conditions it will
16 take 24 to 48 hours. The scrap generated by the outage will typically take seven (7)
17 to ten (10) days to grind and assimilate back into the process.

18

19 Q How much did the glitches and outages or other momentary interruptions cost River
20 City Plastics at its Duval plant in the last two years in terms of down time, restarts,
21 labor costs, lost production, etc.?

22 A As shown on my Exhibit 14 (SM-1), the total cost to River City Plastics between
23 December 1996 and June 1997 was \$412,636.00.

24

25 Q What does the average outage cost River City Plastics?

1 A The cost per outage between December 1996 and June 1997 was \$12,136.00 as
2 shown on Exhibit 14 (SM-1).

3

4 Q Do these service interruptions impact River City Plastics sales of plastic pipe?

5 A Yes, River City Plastics supplies most of its customers on a "just in time" system,
6 so unscheduled down time plays havoc with our very tight production and delivery
7 schedule. We have a large power utility customer that has a heavy penalty for
8 unscheduled delays in shipping. Lost sales due to power outages are inevitable.

9

10 Q Is it fair to say that your manufacturing process is very dependent on an
11 uninterrupted supply of electric energy?

12 A Yes

13

14 Q Are the interruptions you have experienced in any way related to weather
15 conditions?

16 A Yes, it has been our experience that the weather is responsible for the majority of
17 our power glitches and outages, probably in the high ninety (90) percentile. We
18 monitor the weather very closely, and in the majority of cases when large storms are
19 imminent, we will have additional people standing by to assist in the anticipated
20 outage and restart of the plant.

21

22 Q If you have a service interruption (glitch or outage) that causes your production line
23 to shut down, what happens to your "restart" procedures if another glitch or outage
24 occurs during that process?

25 A We have to start the whole "restart" process all over again.

1 Q Has River City Plastics acquired property in Baker County on which to construct a
2 facility?

3 A Yes. As stated in the testimony already filed in this case by both Clay Electric and
4 FPL, we have acquired a parcel of property east of the Baker County Industrial Park.
5 Our plans are to relocate our Duval facility to Baker County on that particular site.
6

7 Q Were you aware that there were two power suppliers in the area?

8 A Yes, we determined that FPL and Clay Electric were in the general area.
9

10 Q Did you request information from both Clay Electric and FPL prior to making your
11 decision on who to select as a power supplier?

12 A Yes we did. We requested information from both Clay Electric and FPL and referred
13 that information to our consulting engineers for their review and evaluation.
14

15 Q As a result of that evaluation who did you select as your power supplier?

16 A Clay Electric Cooperative, Inc.
17

18 Q Why did you make that selection?

19 A Clay Electric offered us a rate schedule, which when coupled with the use of load
20 management generators, provided us with a very competitive cost compared to
21 FPL's proposal. Keep in mind that we had two basic issues for our operation. The
22 first is the cost to us for the electric service and the second one is a high level of
23 reliability of service and ways in which we can protect our manufacturing process
24 from all of the outages and glitches that we have experienced at our plant in Duval
25 County. The idea of using the load management generators became very intriguing

1 to us because of our sensitivity to glitches and outages. As I previously stated, our
2 concern is that there be as few glitches or outages as possible and we recognize
3 that no electric utility can guarantee that there will be none. In a comparison of the
4 service that would be provided by FPL and the service that would be provided by
5 Clay Electric from their primary substation and distribution facilities without
6 considering load management generators, we cannot say there would be any
7 significant difference in reliability at this point in time. However that type of service,
8 relying entirely on primary service from either utility would result in the same kinds
9 of outages and glitches that we experienced on the JEA system. We believe that
10 we can avoid some of the weather related glitches and outages by monitoring the
11 large, violent weather activities and having Clay Electric isolate us from the grid with
12 the load management generators before the storm hits. In the event of an outage
13 we can isolate our plant from the cause of those outages and glitches during the
14 restart process and we are more likely to be able to get up and running again until
15 the conditions causing the glitches and outages is past. Those conditions are
16 weather related. For example if a major thunderstorm or other weather condition
17 causes glitches or outages on the primary service from Clay Electric, we would have
18 the option of isolating our plant (disconnecting from Clay's system), and use the
19 generators on site to restore our manufacturing operations. This will minimize, if not
20 eliminate continued outages and glitches while adverse weather conditions continue
21 to cause momentary interruptions or outages on the primary service facilities. This
22 is very critical to us and it was a service offered only by Clay Electric, and not by
23 FPL.

24
25 Q Did you ask FPL if they would offer the same character and quality of service as that

1 offered by Clay Electric, particularly whether or not they would provide the load
2 management generators?

3 A Yes we did, and they refused.

4

5 Q What was the basis of their refusal?

6 A FPL advised us that primary service from its Wiremill Substation had all the reliability
7 that we needed.

8

9 Q Have you reviewed data from both FPL and Clay Electric regarding reliability of
10 service?

11 A Yes. Mr. Hood refers to it in his direct testimony, and I discussed it with both Clay
12 Electric and FPL prior to making any decision on who should be our power supplier.
13 Incidentally, Florida Wire and Cable, served by FPL, has experienced more outages
14 and interruptions than Mr. Hood says have occurred. The reliability of primary
15 service from either utility is probably not significantly different. If we were not
16 concerned about the sensitivity of our plant to glitches and outages, we could have
17 selected service from either utility. In fact, we called the Florida Public Service
18 Commission to ask who was the power supplier for our Baker County site, and were
19 advised that since Clay Electric and FPL were in the same area and did not have
20 a territorial agreement, that we could chose the utility we wanted. Clay's use of load
21 management generators provided us with a significant cost savings over FPL's cost
22 to us, but that was not the only consideration. As we looked at the opportunity to use
23 the generators for our restart process, or to even use them to isolate our plant from
24 the primary electric system when a storm threatens, prior to a glitch, it became clear
25 that the character and quality of service offered by Clay Electric was superior to that

1 offered by FPL.

2

3 Q So Mr. Hood's statement that FPL has existing substation capacity and capability
4 to extend distribution facilities to provide adequate and reliable service to River City
5 Plastics is what you take issue with?

6 A Yes, and his further statements about FPL's "usual and customary service". We are
7 not interested in FPL's usual and customary service because our plant is not usual
8 and customary. Our manufacturing process is unique, and notwithstanding that
9 uniqueness and our service needs, FPL has insisted to us that we do not need the
10 service offered by Clay Electric, and that the service offered by Clay Electric will not
11 help us. For the reasons that I previously stated, we respectfully disagree with Mr.
12 Hood's assertion.

13

14 Q Mr. Hood also states that FPL can offer River City Plastics several different
15 scenarios for backup or dual feed, and in his statement he mentioned backup
16 generators. Did FPL offer you that option prior to your selection of Clay Electric as
17 your power supplier?

18 A No it did not. They basically told us that if we wanted backup generators we would
19 have to get them ourselves. They also told us that if we wanted dual feed out of their
20 substation we would have to pay for that too. All they have offered us is "their usual
21 and customary service" from their Wiremill Substation. Also please note that Mr.
22 Hood did not say they offered those three options mentioned in his testimony to us,
23 he simply stated that "FPL can offer River City Plastics several different scenarios"
24 and as Mr. Hood goes on to testify, all of the options would be charged to River City
25 Plastics. I have been advised by Clay Electric's attorneys that Mr. Hood has now

1 changed his direct testimony or at least wants to change it indicating that FPL will
2 not charge River City Plastics a contribution in aid of construction for two of the three
3 backup options, a dual feed overhead service and a dual feed underground service.
4 Neither of those options address the kind of service we need and really will not help
5 us.

6
7 Q Have you signed any agreements with Clay Electric for service?

8 A Yes. We sent Clay Electric a request for service and then we executed contracts
9 with Clay to have that service provided. We signed a separate equipment lease
10 agreement so that the generators will be on our site and will be leased by River City
11 Plastics from Clay Electric and operated by us. Pursuant to the equipment lease
12 agreement, we have appointed Clay Electric as our agent to operate the generator
13 for load management purposes, and we are currently discussing with Clay the details
14 of how we would isolate ourselves from the system when we request it. We could
15 either manually disconnect ourselves from their system, or Clay Electric could
16 respond to a telephone call from us to do it.

17
18 Q Do you have any further comments on Mr. Hood's testimony?

19 A Yes. Mr. Hood's testimony, when you look at it in total, basically says that FPL can
20 provide River City Plastics the same kind of service and the same reliability that
21 other customers of FPL receive in the same area. River City Plastics requires
22 another kind of service. It is really apples and oranges. We asked for an orange
23 because we need it, and FPL says "here is an apple, this is all you need". So we
24 are not just talking about a difference in the degree of service between FPL and Clay
25 Electric, we are really talking about two different kinds of service. Since FPL will not

1 provide the service we need, we had no real option except to go to Clay Electric for
2 our service needs. It is that simple.

3

4 Q Does this conclude your rebuttal testimony?

5 A Yes it does at this time.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
2 COUNTY OF LEON)

CERTIFICATE OF REPORTERS

3 We, JOY KELLY, CSR, RPR, Chief, Bureau of
4 Reporting and ROWENA NASH, Official Commission
5 Reporters,

6 DO HEREBY CERTIFY that the Hearing in Docket
7 No. 970512-EU was heard by the Florida Public Service
8 Commission at the time and place herein stated; it is
9 further

10 CERTIFIED that we stenographically reported
11 the said proceedings; that the same has been
12 transcribed by us; and that this transcript,
13 consisting of 339 pages, Volumes 1 and 2, constitutes
14 a true transcription of our notes of said proceedings
15 and the insertion of the prescribed prefiled testimony
16 of the witnesses.

17 DATED this 30th day of October, 1997.

18

19

20


21

22

23

24

25


JOY KELLY, CSR, RPR
Chief, Bureau of Reporting
(904) 413-6732

26

27

28

29

30

31

32