


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 010001-EI

In the Matter of

FUEL AND PURCHASED POWER
COST RECOVERY CLAUSE AND
GENERATING PERFORMANCE
INCENTIVE FACTOR



ELECTRIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 1

Pages 1 through 130

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN E. LEON JACOBS, JR.
COMMISSIONER J. TERRY DEASON
COMMISSIONER LILA A. JABER
COMMISSIONER BRAULIO L. BAEZ
COMMISSIONER MICHAEL A. PALECKI

DATE: Tuesday, November 20, 2001

TIME: Commenced at 9:30 a.m.
Concluded at 5:25 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732

DOCUMENT NUMBER - DATE
15181 DEC-4 01

FPSC-COMMISSION CLERK

1 APPEARANCES:

2 JAMES A. McGEE, Post Office Box 14042,
3 3201 34th Street South, St. Petersburg, Florida
4 33733, appearing on behalf of Florida Power
5 Corporation.

6 JEFFREY A. STONE and RUSSELL BADDERS,
7 Beggs & Lane, 700 Blount Building, 3 West Garden
8 Street, Post Office Box 12950, Pensacola, Florida
9 32576-2950, appearing on behalf of Gulf Power
10 Company.

11 LEE L. WILLIS and JAMES D. BEASLEY, Ausley
12 & McMullen, Post Office Box 391, Tallahassee,
13 Florida 32302, appearing on behalf of Tampa
14 Electric Company (TECO).

15 JOHN W. MCWHIRTER, JR, and VICKI GORDON
16 KAUFMAN, McWhirter, Reeves, McGlothlin, Davidson,
17 Decker, Kaufman, Arnold & Steen, P.A, 117 South
18 Gadsden Street, Tallahassee, Florida 32301,
19 appearing on behalf of Florida Industrial Power
20 Users Group (FPIG).

21 MATTHEW M. CHILDS, Steel, Hector & Davis,
22 215 South Monroe Street, Suite 601, Tallahassee,
23 Florida 32301, appearing on behalf of Florida Power
24 & Light Company (FPL).

25

1 APPEARANCES CONTINUED:

2 ROBERT D. VANDIVER, Associate Public
3 Counsel, Office of Public Counsel, 111 West Madison
4 Street, Room 812, Tallahassee, Florida 32399-1400,
5 appearing on behalf of the Citizens of the State of
6 Florida.

7 TOM CLOUD, Gray, Harris and Robinson, P.
8 A., 201 South Bronough Street, Suite 600,
9 Tallahassee, Florida 32301, appearing on behalf of
10 Publix Super Markets, Inc.

11 WILLIAM COCHRAN KEATING, IV, Florida
12 Public Service Commission, Division of Legal
13 Services, 2540 Shumard Oak Boulevard, Tallahassee,
14 Florida 32399-0870, appearing on behalf of the
15 Commission Staff.

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

OPENING STATEMENTS:	PAGE NO.
By Mr. Beasley	21
By Mr. McWhirter	21
By Mr. Cloud	27
By Mr. Beasley (Rebuttal)	29

WITNESSES

NAME:

MARK J. HORNICK

Stipulated Prefiled Direct Testimony Inserted	8
---	---

J. DENISE JORDAN

Direct Examination by Mr. Beasley	33
Prefiled Direct Testimony Inserted	37
Cross Examination by MR. McWhirter	70
Cross Examination by Ms. Keating	85

W. LYNN BROWN

Direct Examination by Mr. Beasley	88
Prefiled Direct Testimony Inserted	90
Cross Examination by Mr. McWhirter	103
Cross Examination by Ms. Keating	119

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUMBER:		ID.	ADMTD.
1	JDJ-1	34	144
2	JDJ-2	35	144
3	JDJ-3	36	144
4	Composite of Deposition Transcripts and Various Documents	118	129
5	(Confidential) Responses to Interrogatories 5, 6, 149 and 150	118	129

CERTIFICATE OF REPORTER

P R O C E E D I N G S

1
2 CHAIRMAN JACOBS: Very well. We will go back on the
3 record. And we are prepared to consider Docket 01. I do not
4 believe there were any pending preliminary matters on this.

5 Is that correct, Staff?

6 MR. KEATING: There are a couple of motions listed in
7 the prehearing order as pending motions. Those do not require
8 ruling at this time. One concerns a motion for reconsideration
9 of an order on a motion for protective order. Any information
10 that is the subject of that motion the parties have been asked
11 to treat as confidential for purposes of this hearing. I
12 believe that information includes supplier names of Tampa
13 Electric wholesale purchases, so that has been -- the parties
14 have been asked to treat that as confidential pending a ruling
15 on that in due time.

16 CHAIRMAN JACOBS: Very well. I'm sorry.

17 MR. KEATING: Pending a ruling on that in due time.
18 The second motion is a motion for protective order that is
19 related to materials that would not be used at this hearing, so
20 there is no ruling necessary at this time.

21 CHAIRMAN JACOBS: Okay. If everybody is in agreement
22 to that.

23 MR. BEASLEY: Mr. Chairman, I had a couple of minor
24 preliminary matters. If you wanted to take them up now, I
25 would be happy to raise them.

1 CHAIRMAN JACOBS: Let's hear them.

2 MR. BEASLEY: Mark Hornick's testimony, last week we
3 contacted counsel for the parties, we were told that no one had
4 cross-examination questions, and so I would ask that
5 Mr. Hornick's testimony be inserted and that he be excused.

6 CHAIRMAN JACOBS: If there is no opposition then we
7 can insert Mr. Hornick's testimony into the record as though
8 read.

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

PREPARED DIRECT TESTIMONY

OF

MARK J. HORNICK

Q. Please state your name, address, occupation and employer.

A. My name is Mark J. Hornick. My business address is 702 North Franklin Street, Tampa, Florida 33602. I am employed by Tampa Electric Company ("Tampa Electric" or "company") in the position of General Manager - Polk and Phillips Power Stations.

Q. Please provide a brief outline of your educational background and business experience.

A. I received a Bachelor of Science Degree in Mechanical Engineering in 1981 from the University of South Florida. I began my career with Tampa Electric in 1981 as an Engineer Associate in the Production Department. I have held a number of engineering and management positions at Tampa Electric's power generating stations. In July 1998, I was promoted to Director - Fuels where I was responsible for managing Tampa Electric's fuel-related activities. In March 2000, I transferred to my current

1 role of General Manager - Polk and Phillips Power
2 Stations. I am responsible for the overall operation of
3 these two generating facilities.

4
5 Q. Please state the purpose of your testimony.

6
7 A. The purpose of my testimony is to provide an overview of
8 Tampa Electric's generating facilities, a general
9 description of the company's operation and maintenance
10 practices and procedures and to address operating events
11 that have impacted the fuel, purchased power and capacity
12 costs in recent years.

13
14 Q. Please briefly describe the generating facilities Tampa
15 Electric has in place.

16
17 A. Tampa Electric has six generating plants consisting of
18 fossil steam units, combustion turbine peaking units,
19 diesel units and an integrated gasification combined
20 cycle unit. The six generating plants include Big Bend,
21 Gannon, Hookers Point, Dinner Lake, Phillips, and Polk.

22
23 Tampa Electric currently has 11 coal-fired units. Ten of
24 these units are fired with pulverized coal. Starting in
25 2003, Tampa Electric will increase the diversity of its

1 generation mix with the repowering of Gannon Station.
2 The station will be repowered with natural gas and
3 renamed Bayside Power Station.
4

5 Generating units at Hookers Point and Phillips are
6 residual oil fired. Dinner Lake is fueled by natural gas
7 and oil and is currently on long term reserve standby.
8 The four combustion turbines at Big Bend and Gannon
9 Stations use distillate oil as the primary fuel. Total
10 net system generation in 2000 was 17,283 GWh.
11

12 Q. Please provide an overview of the practices and
13 procedures Tampa Electric utilizes in maintaining and
14 operating its generating units?
15

16 A. Tampa Electric uses a variety of both "industry standard"
17 and "state of the art" practices to ensure that its
18 generating units are properly maintained and operated.
19 Standard industry practices for generating unit
20 maintenance include job planning and scheduling, work
21 task analysis, preventative maintenance and critical
22 spare part inventory management. Tampa Electric has also
23 implemented numerous advanced maintenance practices.
24 These include vibration analysis, lube oil analysis,
25 thermography, reliability-centered maintenance, root

1 cause failure analysis, computerized maintenance
2 management, employee continuous improvement programs and
3 craftsman multi-skilling.
4

5 To ensure the proper operation of its generating units,
6 Tampa Electric utilizes systems and practices including
7 operator training, task analysis, competency testing,
8 operating procedures and checklists, unusual incident
9 reporting and analysis, engineering and technical
10 evaluation of equipment performance and routine testing
11 of critical safety devices. In addition, Tampa Electric
12 uses numerous automated systems to ensure proper unit
13 operation. These include analog and digital control
14 systems, alarm condition annunciators, comprehensive
15 monitoring and diagnostic systems and automatic safety
16 shutdown systems. These comprehensive programs and
17 practices have allowed Tampa Electric to achieve
18 reasonable levels of unit performance with well managed
19 costs, while utilizing some older generating equipment
20 portfolio and coping with significant environmental
21 requirements.
22

23 Q. What operating conditions have impacted Tampa Electric's
24 fuel and purchased power costs in recent years?
25

1 A. In recent years, Tampa Electric has experienced increased
2 needs for purchased power due to several key operational
3 events which include the Gannon Station accident in 1999,
4 the failure of the Gannon Unit 6 generator in 2000,
5 extended outages due to environmental constraints at Big
6 Bend Station and other operating issues.

7
8 Q. Please provide a brief summary of the occurrences at
9 Gannon Station in 1999 and 2000?

10
11 A. On April 8, 1999, Gannon Unit 6 was in the early phase of
12 a planned maintenance outage. During the initial phase
13 of work a generator access cover was removed while
14 hydrogen was still inside the generator casing under
15 pressure. The escaping hydrogen ignited, causing a flash
16 fire and structural damage.

17
18 The explosion damaged Units 5 and 6 and caused an
19 emergency shutdown of all five Gannon Station units that
20 were operating. While Gannon Units 1, 2, 3 and 4
21 returned to service within a few days of the explosion,
22 Gannon Units 5 and 6 were out of service until May 16,
23 1999 and June 22, 1999, respectively. The recoverable
24 incremental fuel and purchased power costs that resulted
25 from the explosion totaled \$5.1 million, as discussed by

1 Tampa Electric's witness Mark D. Ward in his direct
2 testimony filed October 1, 1999 in Docket No. 990001-EI.

3
4 An unrelated and extended unplanned outage at Gannon Unit
5 6 began on July 18, 2000. The cause of the outage was an
6 in-service failure of the generator stator winding. Upon
7 disassembly, the stator windings were severely damaged by
8 a high current fault. The generator required a complete
9 stator and field rewind. Tampa Electric was able to
10 complete this extensive repair work and return the unit
11 to service on December 12, 2000. Replacement power was
12 purchased during this period, and the company estimated a
13 net impact to fuel and purchased power costs of \$20.3
14 million as a result of the outage, as discussed in the
15 company's witness W. Lynn Brown's direct testimony filed
16 on September 21, 2000 in Docket No. 000001-EI.

17
18 Q. Please provide a brief summary of the outages at Big Bend
19 Station?

20
21 A. In addition to the typical planned and forced outages at
22 Big Bend Station, the company has also faced additional
23 environmental requirements. In 2000 Tampa Electric entered
24 into a Consent Decree with the U.S. Environmental
25 Protection Agency and Department of Justice. A key

1 requirement involved the optimization and utilization of
2 Big Bend Station's sulfur dioxide removal systems. The
3 scrubbers for Big Bend Unit 1, 2 and 3 were originally
4 designed to meet Clean Air Act requirements that allowed
5 the scrubbers to be shut down for periodic maintenance
6 while the generating units continued to operate. The
7 Consent Decree essentially requires that the scrubbers be
8 in service whenever the generating unit is operating.

9
10 To meet these more stringent operating requirements,
11 Tampa Electric performed extensive scrubber maintenance
12 during planned outages, and, in some instances, extended
13 planned outages to ensure that the reliability of the
14 generating units would not be jeopardized by scrubber
15 problems. This included an outage in 2001 at Big Bend
16 Station that was extended for 16 days. The company also
17 performed maintenance work on the oxidation air header in
18 the Big Bend scrubber towers to help ensure availability
19 during peak periods. During these outage periods, the
20 company purchased power to meet its retail load
21 requirements.

22
23 Q. What other issues have impacted Tampa Electric generation
24 operations in recent years?
25

1 A. Environmental regulations have also reduced the allowable
2 nitrogen oxide emissions from the company's generating
3 units. Tampa Electric has been able to comply with these
4 rules with a series of innovative, cost effective
5 modifications to the boilers and fuel burning equipment.
6 While these modifications impact unit operation much less
7 than other alternatives, the company still has
8 experienced some capacity derations from changes in the
9 combustion process.

10

11 In 2001, operations at Gannon Station have been impacted
12 by an infestation of non-indigenous green lip mussels in
13 Tampa Bay. These fast growing shellfish obstruct the
14 tubes in the steam condensing equipment resulting in the
15 units being restricted in capacity as sections of the
16 condensers are taken out of service for cleaning. Tampa
17 Electric is working with Mote Marine Laboratory and local
18 officials to understand the extent of this problem and
19 how to control the infestation.

20

21 Q. What significant operational items will affect Tampa
22 Electric's fuel, purchased power and capacity costs for
23 2002?

24

25 A. Tampa Electric will continue to experience some capacity

1 derations and availability losses due to the impacts of
2 stricter environmental regulations. The company is
3 working hard to minimize these impacts and to also find
4 solutions to the mussel infestation problem.

5
6 The repowering of Gannon Station is clearly a significant
7 undertaking. Construction work on Bayside is now in
8 progress and we will perform a portion of the required
9 conversion work during scheduled outage periods in 2002.
10 However, this will impact the duration, timing and extent
11 of the outages.

12
13 These factors have influenced the decision to negotiate
14 several new firm capacity and energy purchases to meet
15 desired operating reserves, as described in the direct
16 testimony of Tampa Electric's witness W. Lynn Brown.

17
18 In addition, the company expects to bring Polk Unit 3, a
19 180 MW combustion turbine, which will use natural gas,
20 in-service by May 2002. The addition of this unit will
21 impact fuel costs in 2002.

22
23 Q. Does this conclude your testimony?

24
25 A. Yes.

1 MR. BEASLEY: And the only other matter that I had
2 preliminarily is last week we filed a notice that we would
3 intend to request official recognition of certain of the
4 Commission's prior orders. And I have certified copies of
5 those for the court reporter and additional copies for the
6 Commissioners, staff, and parties. I would be happy to hand
7 those out if you would like to receive them at this time.

8 CHAIRMAN JACOBS: Yes. This is for official
9 recognition?

10 MR. BEASLEY: Yes, sir. I can give you a brief
11 description of what these are if you would like.

12 CHAIRMAN JACOBS: Okay.

13 MR. BEASLEY: The first one is Commission's Order
14 Number 22335 that was entered in Docket Number 880309-EC. That
15 was the Commission's final order on need determination for the
16 Hardee Power Station. And it was in that need order that you
17 found that the various contracts that made up that project,
18 including the Tampa Electric sale of Big Bend 4 capacity and
19 energy to TPS would produce approximately \$57 million in
20 benefits to Seminole Electric Cooperative's customers and \$90
21 million in benefits to Tampa Electric's retail customers.

22 The second item is simply excerpts of the company's
23 last rate case where the Commission acknowledged the benefits
24 derived from the Hardee Power Project, including the Tampa
25 Electric Big Bend 4 sale to TPS.

1 The third one is your Commission order dated March
2 11, 1997, which is this Commission's definitive order setting
3 forth the Commission's present policy for the regulatory
4 treatment of separated and nonseparated wholesale sales.

5 The next one is your order of June 11, 2000, issued
6 in the fuel docket, which is the order disposing of a motion
7 for a midcourse correction filed by FIPUG. And that order in
8 part reaffirms the Commission's regulatory policies that were
9 in the March 11, 1997 order.

10 The final one is simply the consummating order for
11 the last order I described. And we would offer these for your
12 official notice. And I thank you for your time.

13 CHAIRMAN JACOBS: Thank you. Mr. McWhirter.

14 MR. McWHIRTER: Mr. Chairman, on behalf of FIPUG, I
15 have no objection to the Commission taking official recognition
16 of this order or any other of its orders. However, with
17 respect to the 1993 rate order, I didn't get the extract until
18 this morning. The order is 150 pages long, and just certain
19 components have been selected and they may not be all of the
20 relevant components. So I would suggest as an alternative that
21 the entire order -- you take official recognition of the entire
22 order and that we have that available, as well.

23 CHAIRMAN JACOBS: I'm sorry, please give me the order
24 number again.

25 MR. McWHIRTER: This is Order Number 93-0165-FOF-EI,

1 the 1993 rate order.

2 CHAIRMAN JACOBS: Let the record reflect we will take
3 official recognition of that entire order.

4 MR. BEASLEY: Mr. Chairman, we have one further item.
5 If you want to take it now, it's just a correction to a number
6 in the prehearing order.

7 CHAIRMAN JACOBS: We can do that. What page?

8 MR. BEASLEY: It is Page 54, sir, and it is the --
9 the issue is stipulated Issue 28. And the number there for
10 Tampa Electric, which is shown as \$47,002,518 should be
11 \$52,600,466. I think the staff is in agreement with that. The
12 factor shown in Issue 30 is based on that corrected number.

13 MS. KAUFMAN: I'm sorry, Mr. Beasley, would you mind
14 repeating that again and referring us to the page.

15 MR. BEASLEY: Yes. It's on Page 54.

16 MS. KAUFMAN: Of the prehearing order?

17 MR. BEASLEY: That is correct. It may depend on
18 which version you're looking at. I've got an earlier version
19 and it was on Page 65.

20 MS. KAUFMAN: I've got the version that was issued
21 with the order number on it.

22 MR. BEASLEY: It is stipulated Issue 28, Ms. Kaufman.

23 MS. KAUFMAN: Okay. I'm with you. It's on a
24 different page.

25 MR. BEASLEY: Okay.

1 MS. KAUFMAN: Can you repeat your number again.

2 MR. BEASLEY: Yes. Instead of the 47 million plus,
3 it is \$52,600,466.

4 MR. McWHIRTER: We have no objection to that.

5 MR. BEASLEY: Thank you.

6 MS. KAUFMAN: Thank you, Mr. Beasley.

7 MR. KEATING: And staff is in agreement with that
8 number, and that should be the stipulated position for that
9 issue for TECO.

10 CHAIRMAN JACOBS: And you said Order 30 is already
11 consistent with that number, is that correct? Issue 30.

12 MR. BEASLEY: That is correct.

13 CHAIRMAN JACOBS: Okay. Very well. Anything else
14 from any of the parties?

15 MR. McWHIRTER: I would like to make a brief opening
16 statement, Mr. Chairman, at the appropriate time.

17 CHAIRMAN JACOBS: Very well.

18 MR. BEASLEY: I would, as well, sir.

19 CHAIRMAN JACOBS: Did we reach a time limit on that?

20 MR. CLOUD: I believe the prehearing order says ten
21 minutes.

22 CHAIRMAN JACOBS: Ten minutes.

23 MR. CLOUD: And I would like to make one, as well,
24 for Publix.

25 CHAIRMAN JACOBS: Very well. And I assume we will go

1 ahead and do it for each party. I was just thinking of whether
2 or not we could break that out per side, but we can just go for
3 each party. And would it be appropriate since it is your
4 petition --

5 MR. BEASLEY: Okay, sir.

6 CHAIRMAN JACOBS: Mr. Childs, did you want to make an
7 opening statement?

8 MR. BEASLEY: Yes, sir. Commissioners, Tampa
9 Electric is ready to proceed. I believe the testimony and
10 exhibits that we have filed demonstrate the merits of our
11 position on the issues. It has all been thoroughly looked at
12 by your staff. We are ready to go forward. I would like to
13 reserve the balance of my time for rebuttal comments as
14 necessary.

15 CHAIRMAN JACOBS: Very well. Mr. McWhirter.

16 MR. McWHIRTER: Mr. Chairman, this case is a matter
17 of great and extraordinary importance at this point in time in
18 the history of Florida. We are beyond the threshold of the
19 competitive wholesale market for electricity. You have
20 carefully monitored that market and require each utility to
21 annually report on its wholesale transactions from the previous
22 year and to provide its forecasted costs for the coming year.

23 In 1996, the Public Counsel expressed concern about
24 the treatment of revenues received from wholesale sales. And
25 in that case he argued that the fuel costs should be credited

1 with the actual cost of fuel on wholesale sales rather than the
2 amount of money that the utility received. The Commission took
3 that under consideration, had extensive hearings on it, and in
4 1997 you issued a policy and the policy distinguished between
5 nonseparated sales and separated sales. And you established
6 procedures to be followed with each type of sale for the
7 protection of customers.

8 And here is what you said in that order. You said,
9 "We have a long history of providing utilities with the
10 flexibility needed to maximize retail benefits. However, a
11 utility bears the burden of showing that deviation from
12 established policy is in the public interest. Thus, utilities
13 shall credit average system fuel revenues through the fuel
14 adjustment clause unless it demonstrates on a case-by-case
15 basis that each new sale does, in fact, provide overall
16 benefits to retail ratepayers."

17 And what we are saying there is that we have got this
18 bifurcated situation in Florida today where you have a
19 regulated industry that is venturing out into a competitive
20 wholesale market and it has got potentially very serious
21 problems. The problems being that the retail consumer should
22 not be required to subsidize wholesale sales, and that retail
23 customers are the ultimate beneficiaries of these transactions
24 when the regulated utility's assets are used in these
25 transactions.

1 There is also another very significant aspect, and
2 that is in modern times we have affiliated or utility companies
3 with affiliated sister or brother companies that engage in
4 business transactions with the regulated utility, and those are
5 wholesale transactions. And you need to monitor and be sure
6 that those are sound transactions and that the retail consumers
7 are well protected.

8 In this case we have found that three of the
9 investor-owned utilities, Florida Power and Light, Florida
10 Power, and Gulf Power have sold power from its own generators
11 for a profit that is then passed through to the customers.
12 These three bought power in the wholesale market for less than
13 it cost them to generate it with their own generators and they
14 passed the benefits of those transactions along to the
15 customers.

16 But one utility, however, had a vastly different
17 experience, and that utility, Tampa Electric, in the recent
18 past hasn't had sufficient capacity to meet its retail
19 customers needs. It bought power for far more than it cost to
20 produce that power, and it gave that cost to the retail
21 customers. It sold power for less than average cost in some
22 instances, and it credited the retail customers not with the
23 cost of the fuel that was burned, but the price that was
24 received for the sale of the power. And it will be argued here
25 today that that is in keeping with the Commission's philosophy.

1 But I think we will show that it may be, but there is
2 inadequate evidence, substantial compete evidence in this
3 proceeding filed so far to justify that circumstance.

4 The result of the transactions by Tampa Electric in
5 the years 2000 and 2001 from their wholesale transactions
6 related in an underrecovery of \$88 million. Tampa Electric is
7 asking you in this proceeding to have its current customers,
8 retail customers pick up that tab. It is the tab on wholesale
9 transactions gone awry at a time when Tampa Electric was
10 selling its own generation in the retail market at a low cost,
11 it was buying back power at a high price from the wholesale
12 market.

13 We have attempted to delve into the circumstances of
14 this case. Tampa Electric says it has responded to each of our
15 questions. We started asking questions in February of 28th of
16 2001, nearly ten months ago. And we went through a series, a
17 lot of information was supplied, a lot was deemed confidential.
18 And that is understandable and necessary when you are trying to
19 protect competitive interests. It is somewhat more
20 questionable and gives you more concern when you are trying to
21 protect transactions between affiliated companies and the
22 regulated utility company.

23 It was necessary to have hearings on motions for
24 protective orders, to have hearings on objections to discovery.
25 And our last discovery was given to us in response to a

1 Commission order that was rendered yesterday and it was given
2 to us this morning. And it has information of a --
3 confidential information of great significance relating to
4 wholesaling affiliated company transactions that needs to be
5 explored.

6 We are not saying that Tampa Electric is guilty of
7 any wrongdoing. We are just saying that when we do a rifle
8 focus on the circumstances of these transactions, \$88 million
9 on a utility this size as losses primarily in wholesale
10 transactions in a two-year period is certainly an eyebrow
11 raiser.

12 Because of that we invited experts to come and
13 examine these wholesale transactions, well-known professional
14 consultants from St. Louis came. They asked these questions
15 that we had slowly got the information on, some we got rapidly,
16 but they couldn't perform, nor should they perform a full audit
17 of the transactions. What we asked them to do was to smell the
18 smoke and see if there was fire or something that pretended to
19 be unfair to the retail consumers, because the mission of this
20 Commission is to protect retail consumers.

21 You will hear in today's testimony what these people
22 have found. It will be criticized because it is not a thorough
23 audit. We didn't intend a thorough audit. All we ask in this
24 case is that the Commission determine that there is enough
25 smoke to indicate that it, yourselves and your staff, should

1 undertake a full examination of this \$88 million surcharge that
2 is being imposed upon the retail consumers. And a lot of it is
3 confidential and we hope that your staff will probe it
4 thoroughly.

5 And we think this is important because what is
6 happening in this case between Tampa Electric Company, a load
7 serving utility, and its affiliated merchant plant company is
8 kind of what is going to happen in the future. It's like Mr.
9 Deason was discussing earlier today with cost-recovery clauses
10 and the competition market coming, we need to be careful. And
11 what you need to be careful about is what you said you would be
12 careful about in an order issued by Mr. Deason, Mr. Garcia, and
13 Julia Johnson back in '97. And he said Mr. Ramil, who was then
14 an expert witness for Tampa Electric, and now its president,
15 raised concerns regarding a potentially burdensome review and
16 the danger of such a review becoming an opportunity for
17 increased litigation. Nonetheless, the Commission said, it is
18 the Commission's responsibility to ensure that activities
19 taking place in the wholesale market do not adversely affect
20 retail consumers.

21 We think there is smoke coming out under the eaves of
22 the Tampa Electric facade. And we are very concerned that
23 there may be -- where there is smoke we may find things that
24 are adversely affecting retail customers. Our experts say that
25 that number is somewhere -- in the past three years, somewhere

1 between 45 and \$108 million that conceivably retail consumers
2 have been overcharged essentially through these wholesale
3 transactions. That is an appalling number and one we think
4 deserves serious, very serious consideration by your
5 Commission.

6 And I thank you for your attention and we will look
7 forward to going through the case with you.

8 CHAIRMAN JACOBS: Thank you. Mr. Cloud.

9 MR. CLOUD: Yes, sir. My client, Publix, is one of
10 the largest, if not the largest Florida-based competitive
11 companies. It is headquartered, ironically, in my hometown of
12 Lakeland. It has been in business for 70 years. It is now
13 operating in four states. Interestingly enough, their
14 experience in power costs and reliability show Florida at the
15 bottom of the list in the other states they operate in.

16 And to a company that is no stranger to one percent
17 margins in the very highly competitive field of grocery market,
18 power costs are a major impact to Publix and to its customers.
19 They have a duty to their stockholders, which I'm sure if you
20 are from Florida you know includes their employees, and a duty
21 to their customers to keep prices low. If Publix isn't
22 competitive, then the stockholders and the employees bear that
23 burden. And if we sign contracts, even though lawful, even
24 though upheld by every agency in the land and they turn out to
25 be less than profitable, the market puts a check on that

1 inequitable allocation between the stockholders and the
2 customers. If we try and raise prices too much, we lose
3 business.

4 And in this proceeding you are the market. You are
5 there to serve as the watchdog and to look into these issues.
6 And I think as FIPUG has said today, whose position we support,
7 there is more than just the hint of smoke there. Now, in this
8 hearing you are going to hear a number of things about how FERC
9 has approved this and the contracts are valid and you approved
10 the contracts. This hearing isn't about whether or not the
11 Federal Energy Regulatory Commission said that the separated
12 contracts were lawful or okay for purposes of those proceedings
13 or whether the contracts were good or bad in the past. It is
14 not about whether TECO inappropriately charged purchased power
15 back then. It is a question today of fairly allocating both
16 the good and the not so good decisions between stockholders and
17 customers and you take the place of the market.

18 Now I know we are late to this proceeding and we take
19 it as we find it, and this may be our first appearance before
20 the Commission, but I promise you that until our company is
21 able to see a change in the way rates are structured for the
22 major IOUs in this state where they are more in line with what
23 we see in other states, it probably won't be our last
24 appearance. And we appreciate your indulgence for our opening
25 statement. Thank you.

1 CHAIRMAN JACOBS: Thank you.

2 MR. BEASLEY: Commissioners, some things never
3 change. Two years ago this week in this room we heard Mr.
4 McWhirter characterize the witness of his -- or the testimony
5 of his witness, he said, Mr. Chairman, and I quote, if you read
6 the testimony on Page 6, essentially he is saying that he sees
7 smoke by the OSHA report. He doesn't suggest the Commission
8 rely on the OSHA report in any way with respect to these
9 findings, what he does -- because he has seen the smoke and
10 there is evidence of fire, he says, "I recommend the Commission
11 disallow the fuel replacement costs until TECO comes forward
12 with clear and convincing evidence."

13 Commissioners, the terms disallow, and postpone, and
14 further investigate, and defer are common in the FIPUG
15 vocabulary. We are confident, and we believe by the conclusion
16 of this hearing that you will be satisfied that Tampa Electric
17 is in full compliance with your regulatory practices and
18 requirements regarding separated and nonseparated wholesale
19 sales. The evidence will show, contrary to FIPUG's assertion,
20 that Tampa Electric does not allocate, for example, 100 percent
21 of its purchased power costs to its retail customers. Instead,
22 the company fairly allocates its fuel costs, all of them,
23 including the purchased power costs, to both its retail and
24 wholesale customers in proportion to the megawatt hours each
25 group uses.

1 The record will also show, contrary to FIPUG's
2 contention, that all but one of its current separated wholesale
3 sales are charged on a system average fuel cost basis, exactly
4 the way FIPUG's witnesses say it should be done. The one
5 separated sale that is not charged on a system average fuel
6 cost basis is the unit power sale out of Big Bend Unit 4 to
7 TECO Power Services Corporation. And that particular
8 transaction was one of among four contracts specifically
9 approved by the Commission in the Hardee Power Station need
10 determination case. And you will recall that project was
11 approved because the Commission found that the contracts
12 comprising it would save the customers of Seminole Electric
13 Cooperative some \$37 million, and the customers, the retail
14 customers of Tampa Electric approximately \$90 million.

15 Tampa Electric has submitted solid evidentiary
16 support for its proposed factors, and its costs and its
17 operations have been carefully reviewed by your staff. As
18 against this, you will see that FIPUG's case relies upon a
19 flawed study that draws erroneous conclusions from the data
20 included in Tampa Electric's monthly A Schedules that are filed
21 with this Commission.

22 The evidence will show that in their haste to find a
23 subsidy that doesn't exist, FIPUG's witnesses have simply been
24 mistaken in their attempted analysis of those monthly
25 A Schedule filings. Finally, as regards FIPUG's allegations

1 concerning delay, we were very circumspect in even objecting to
2 FIPUG's discovery. We have timely provided FIPUG with an
3 unprecedented volume of discovery material and responses. Most
4 all of the grounds for the timely objections that we did make
5 were sustained, and the ones that weren't were promptly
6 answered consistent with the expedited schedule prescribed by
7 the prehearing officer.

8 Tampa Electric was proactive in attempting to get
9 confidential information into FIPUG's hands early on. As early
10 as May the 8th of this year, we approached FIPUG with a
11 nondisclosure agreement, something that the prehearing officer
12 ultimately concluded FIPUG would need to execute in order to
13 have access to confidential information. We approached them,
14 it fell on deaf ears. We did this three separate times in
15 written proposals to enter into with them with a nondisclosure
16 agreement.

17 It was only in late August when FIPUG saw that the
18 deadline for filing intervenor testimony looming on the horizon
19 that they suddenly realized that they needed to sign a
20 nondisclosure agreement to get this information. We did that
21 immediately with them and immediately turned over the
22 confidential information that we were duty bound to protect for
23 our ratepayers' benefit until such time as FIPUG agreed to sign
24 the nondisclosure agreement.

25 Even then with the confidential information in hand,

1 FIPUG ultimately determined that it was only going to rely on
2 the A Schedules, which are not confidential. So they had all
3 along and have had monthly every year, year in and year out the
4 information that their experts ultimately relied on in putting
5 together their study. So any delay that FIPUG complains of is
6 delay, we submit, that is attributable to FIPUG's own actions,
7 or in the case of the nondisclosure agreement, their inactions.

8 FIPUG has alleged delay on the part of Tampa Electric
9 we believe in an unfair effort to cause additional delay in the
10 setting of Tampa Electric Company's cost-recovery factors for
11 2002. And the evidence you will hear today will demonstrate
12 that FIPUG has offered no justification whatsoever for any
13 further delay, or further review, or any of the other true-up
14 avoidance tactics that FIPUG may have in its portfolio.

15 Their goal of delaying the Commission's approval of
16 the implementation of our new fuel cost recovery factors in
17 January 2002 is consistent with the approach they took two
18 years ago and in other proceedings where an increase is
19 proposed or some change to the upside in a fuel factor, or a
20 rate or a charge that is being proposed. While it may be
21 consistent with their prior approaches in this regard, it
22 doesn't justify that approach, and we would ask that you turn
23 away FIPUG's efforts to delay this even further. And that
24 concludes our opening statement.

25 CHAIRMAN JACOBS: Very well. And if there is nothing

1 else as a preliminary matter, we are prepared to swear the
2 witnesses. Anything else? Would all the witnesses who will
3 testify in this docket please stand and raise your right hand.

4 (Witnesses collectively sworn.)

5 Thank you very much. You may proceed. And I believe
6 the first witness is TECO.

7 MR. BEASLEY: I call J. Denise Jordan to the stand.

8 J. DENISE JORDAN

9 was called as a witness on behalf of Tampa Electric Company,
10 and, having been duly sworn, testified as follows:

11 DIRECT EXAMINATION

12 BY MR. BEASLEY:

13 Q Ms. Jordan, could you please state your name, your
14 business address, and your position with Tampa Electric
15 Company?

16 A J. Denise Jordan, 702 North Franklin Street, Tampa,
17 Florida 33602, director of Rates and Planning.

18 Q Ms. Jordan, did you prepare and submit in this
19 proceeding a document entitled prepared direct testimony of
20 J. Denise Jordan dated April 21, 2001?

21 A Yes, I did.

22 Q Did that reflect your --

23 CHAIRMAN JACOBS: Excuse me, Ms. Jordan is your red
24 light on there. Off. Is the red light off? There you go.

25 Thank you.

1 BY MR. BEASLEY:

2 Q And that was your 2000 true-up testimony?

3 A That is correct.

4 Q If I were to ask you the questions contained in that
5 testimony, would your answers be the same?

6 A Yes, they would.

7 MR. BEASLEY: I would ask that Ms. Jordan's April 21,
8 2001 testimony be admitted into -- or be copied into the record
9 as though read.

10 CHAIRMAN JACOBS: Very well. Without objection show
11 Ms. Jordan's -- I'm trying to make sure I have the right one
12 here. Ms. Jordan's testimony is entered into the record as
13 though read.

14 BY MR. BEASLEY:

15 Q Ms. Jordan, was the Exhibit JDJ-1 consisting of 230
16 pages that accompanied that testimony prepared under your
17 direction and supervision?

18 A Yes, it was.

19 MR. BEASLEY: I would ask that Ms. Jordan's Exhibit
20 JDJ-1 be marked for identification.

21 CHAIRMAN JACOBS: Show that marked as Exhibit 1.

22 (Exhibit 1 marked for identification.)

23 BY MR. BEASLEY:

24 Q Ms. Jordan, did you submit prepared direct testimony
25 dated August 20, 2001, that relating to the 2001 estimated and

1 actual true-up?

2 A Yes.

3 Q If I were to ask you the questions contained in that
4 set of testimony, would your answers be the same?

5 A Yes, they would.

6 MR. BEASLEY: I would ask that Ms. Jordan's August
7 20, 2001 prepared testimony be inserted into the record as
8 though read?

9 CHAIRMAN JACOBS: Without objection show that
10 testimony is entered into the record as though read.

11 BY MR. BEASLEY:

12 Q Ms. Jordan, the 23-page exhibit identified as Exhibit
13 JDJ-2 that accompanied that August 20 testimony, was that
14 prepared under your direction and supervision?

15 A Yes, it was.

16 MR. BEASLEY: I would ask that that exhibit be marked
17 for identification.

18 CHAIRMAN JACOBS: Show it marked as Exhibit 2.

19 (Exhibit 2 marked for identification.)

20 BY MR. BEASLEY:

21 Q Ms. Jordan, did you submit the prepared direct
22 testimony of J. Denise Jordan dated September 20, 2001, that
23 relating to the 2002 projection filing?

24 A Yes.

25 Q If I were to ask you the questions contained in that

1 testimony, would your answers be the same?

2 A Yes, they would.

3 MR. BEASLEY: I would ask that that set of testimony
4 be inserted into the record as though read.

5 CHAIRMAN JACOBS: Without objection show the
6 testimony dated 9/20 is entered into the record as though read.

7 BY MR. BEASLEY:

8 Q Ms. Jordan, the exhibit that accompanied that
9 testimony, JDJ-3, was that prepared under your direction and
10 supervision?

11 A Yes, it was.

12 MR. BEASLEY: I would ask that that exhibit be marked
13 for identification.

14 CHAIRMAN JACOBS: Show it marked as Exhibit 3.

15 MR. BEASLEY: I'm sorry, sir.

16 CHAIRMAN JACOBS: Show it marked as Exhibit 3.

17 MR. BEASLEY: Thank you.

18 (Exhibit 3 marked for identification.)
19
20
21
22
23
24
25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

PREPARED DIRECT TESTIMONY

OF

J. DENISE JORDAN

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. Please state your name, address, occupation and employer.

A. My name is J. Denise Jordan. My business address is 702 North Franklin Street, Tampa, Florida 33602. I am employed by Tampa Electric Company ("Tampa Electric" or "company") in the position of Director, Rates and Planning in the Regulatory Affairs Department.

Q. Please provide a brief outline of your educational background and business experience.

A. I received a Bachelor of Mechanical Engineering degree in 1987 from Georgia Institute of Technology in Atlanta, Georgia. Prior to joining Tampa Electric, I accumulated 13 years of electric utility experience working for Florida Power Corporation in the areas of rate design and administration, demand-side management implementation, commercial and industrial account management, customer service and marketing. In April 2000, I joined Tampa Electric as Manager, Electric Regulatory Affairs. In

1 February 2001, I was promoted to Director, Rates and
 2 Planning. My present responsibilities include the areas
 3 of fuel and purchased power cost recovery filings,
 4 capacity cost recovery filings, environmental cost
 5 recovery filings and energy and rate design issues and
 6 analyses.

7

8 **Q.** What is the purpose of your testimony?

9

10 **A.** The purpose of my testimony is to present, for the
 11 Florida Public Service Commission's ("FPSC" or
 12 "Commission") review and approval, the net true-up
 13 amounts for the period from January 2000 through December
 14 2000 for both the Fuel and Purchased Power Cost Recovery
 15 and the Capacity Cost Recovery Clauses. I also present
 16 the wholesale incentive benchmark for January 2001
 17 through December 2001.

18

19 **Q.** What is the source of the data which you will present by
 20 way of testimony or exhibits in this process?

21

22 **A.** Unless otherwise indicated, the actual data is taken from
 23 the books and records of Tampa Electric. The books and
 24 records are kept in the regular course of business in
 25 accordance with generally accepted accounting principles

1 and practices, and provisions of the Uniform System of
2 Accounts as prescribed by this Commission.

3
4 Q. Have you prepared an exhibit in this proceeding?

5
6 A. Yes. I have prepared Exhibit No. ___ (JDJ-1), Fuel and
7 Purchased Power Cost Recovery and Capacity Cost Recovery
8 which contains four documents as described in my
9 testimony.

10
11 **CAPACITY COST RECOVERY CLAUSE**

12 Q. What is the net true-up amount for the capacity cost
13 recovery clause for the period January 2000 through
14 December 2000?

15
16 A. The net true-up amount is an under-recovery of \$589,079.

17
18 Q. Please explain Document No. 1.

19
20 A. Document No. 1, page 1 of 4 entitled "Tampa Electric
21 Company Capacity Cost Recovery Clause Calculation of
22 Final True-up Variances for the Period January 2000
23 through December 2000" shows the calculation of the final
24 net true-up under-recovery amount of \$589,079. The
25 actual capacity cost over-recovery, including interest

1 was \$1,388,160 for the period January 2000 through
2 December 2000 as identified in Document No. 1, pages 1
3 and 2 of 4. This amount, less the actual/estimated over-
4 recovery approved in FPSC Order No. PSC-00-2385-FOF-EI
5 issued December 12, 2000 in Docket No. 000001-EI of
6 \$1,977,239, results in a final under-recovery for the
7 period of \$589,079 as identified in Document No. 1, page
8 4 of 4. This under-recovery amount will be applied in
9 the calculation of the capacity cost recovery factors for
10 the period January 2002 through December 2002.

11
12 Q. What is the estimated effect of this \$589,079 under-
13 recovery in the January 2000 through December 2000
14 period, on residential bills during the January 2002
15 through December 2002 period?

16
17 A. The \$589,079 under-recovery will cause a typical 1,000
18 kWh residential bill to be approximately \$0.03 higher.

19
20 **FUEL AND PURCHASED POWER COST RECOVERY CLAUSE**

21 Q. What is the net true-up amount for the Fuel and Purchased
22 Power Cost Recovery Clause for the period January 2000
23 through December 2000?

24
25 A. The net fuel true-up is an under-recovery of \$23,129,476.

1 The actual fuel cost under-recovery, including interest,
2 was \$65,850,797 for the period January 2000 through
3 December 2000. This \$65,850,797 amount, less the
4 actual/estimated under-recovery amount of \$42,721,321
5 approved in Order No. PSC-00-2385-FOF-EI issued December
6 22, 2000 in Docket No. 000001-EI results in a final
7 under-recovery amount for the period of \$23,129,476.
8 This under-recovery amount will be applied in the
9 calculation of the fuel recovery factors for the period
10 January 2002 through December 2002.

11
12 Q. What is the estimated effect of this under-recovery in
13 the January 2000 through December 2000 period on
14 residential bills during the January 2002 through
15 December 2002 period?

16
17 A. The \$23,129,476 under-recovery will cause a typical 1,000
18 kWh residential bill to be approximately \$1.31 higher.

19
20 Q. Please explain Document No. 2.

21
22 A. Document No. 2 is entitled "Tampa Electric Company Final
23 Fuel Over/(Under)- Recovery for the Period January 2000
24 through December 2000." It shows the calculation of the
25 final fuel under-recovery for the period of \$23,129,476,

1 which will be applied in the calculation of the fuel and
2 purchased power cost recovery factors for the period
3 January 2002 through December 2002.

4
5 Line 1 shows the total company fuel costs of \$460,988,973
6 for the period January 2000 through December 2000. The
7 jurisdictional amount of total fuel costs is \$444,626,080
8 as shown on line 2. This amount is compared to the
9 jurisdictional fuel revenues applicable to the period on
10 line 3 to obtain the actual under-recovered fuel costs
11 for the period, shown on line 4. The resulting
12 \$71,996,760 under-recovered fuel costs for the period,
13 combined with the interest, true-up collected and the
14 prior period true up shown on lines 5, 6 and 7,
15 respectively, constitute the actual under-recovery of
16 \$65,850,797 shown on line 8. The \$65,850,797 less the
17 actual/estimated under-recovery of \$42,721,321 shown on
18 line 9, which was approved in FPSC Order No. PSC-00-2385-
19 FOF-EI, results in the final under-recovery of
20 \$23,129,476 as shown on line 10.

21
22 Q. Please explain Document No. 3.

23
24 A. Document No. 3 entitled "Tampa Electric Company
25 Calculation of True-Up Amount Actual vs. Original

1 Estimates for the Period January 2000 through December
2 2000," shows the calculation of the actual under-recovery
3 as compared to the original estimate for the same period.
4

5 Q. What was the variance in jurisdictional fuel revenues for
6 the period January 2000 through December 2000?
7

8 A. As shown on line C3 of Document No. 3, the company
9 collected \$5,807,585 or 1.5 percent less jurisdictional
10 fuel revenues than originally estimated.
11

12 Q. What was the total fuel and net power transaction cost
13 variance for the period January 2000 through December
14 2000?
15

16 A. As shown on line A7 of Document No. 3, the fuel and net
17 power transaction cost variance is \$53,402,438 or 13.1
18 percent more than originally estimated.
19

20 Q. Please explain Document No. 4.
21

22 A. Document No. 4 contains Commission Schedules A-1 through
23 A-9 for the months of January 2000 through December 2000.
24 Also included is a twelve-month summary detailing the

1 transactions for each of Commission Schedules A6, A7, A8,
2 and A9 for the period January 2000 through December 2000.

3
4 **Wholesale Incentive Benchmark**

5 Q. What is Tampa Electric's wholesale incentive benchmark
6 for 2001?

7
8 A. The company's 2001 benchmark is \$4,768,644, which is the
9 three-year average of \$9,450,622, \$2,273,119 and
10 \$2,582,191 actual gains on the non-separated wholesale
11 sales, excluding emergency, for 1998, 1999 and 2000,
12 respectively.

13
14 Q. Does this conclude your testimony?

15
16 A. Yes.

17
18
19
20
21
22
23

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 J. DENISE JORDAN

5

6 Q. Please state your name, address, occupation and employer.

7

8 A. My name is J. Denise Jordan. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am
10 employed by Tampa Electric Company ("Tampa Electric" or
11 "company") in the position of Director, Rates and
12 Planning in the Regulatory Affairs Department.

13

14 Q. Please provide a brief outline of your educational
15 background and business experience.

16

17 A. I received a Bachelor of Mechanical Engineering degree in
18 1987 from Georgia Institute of Technology in Atlanta,
19 Georgia. Prior to joining Tampa Electric, I accumulated
20 13 years of electric utility experience working for
21 Florida Power Corporation in the areas of rate design and
22 administration, demand-side management implementation,
23 commercial and industrial account management, customer
24 service and marketing. In April 2000, I joined Tampa
25 Electric as Manager, Electric Regulatory Affairs. In

1 February 2001, I was promoted to Director, Rates and
2 Planning. My present responsibilities include the areas
3 of fuel and purchased power, capacity, environmental and
4 energy conservation cost recovery clauses, and rate
5 design and analyses.

6
7 Q. What is the purpose of your testimony?

8
9 A. The purpose of my testimony is to present, for Commission
10 review and approval, the calculation of the January 2001
11 through December 2001 fuel and purchased power and
12 capacity true-up amounts to be recovered in the January
13 2002 through December 2002 projection period. My testimony
14 addresses the recovery of fuel and purchased power costs
15 and capacity costs for the year 2001, based on six months
16 of actual data and six months of estimated data. This
17 information will be used to determine fuel and purchased
18 power cost and capacity cost recovery factors for the
19 year 2002.

20
21 Q. Have you prepared any exhibits to support your testimony?

22
23 A. Yes. I have prepared Exhibit No. ____ (JDJ-2) which
24 contains two documents. Document No. 1 is comprised of
25 Schedules E1-B, E-2, E-3, E-5, E-6, E-7, E-8, and E-9

1 which provides the actual/estimated fuel and purchased
2 power cost recovery true-up amount for the period of
3 January 2001 through December 2001. Document No. 2
4 provides the actual/estimated capacity cost recovery
5 true-up amount for the period of January 2001 through
6 December 2001. These documents are furnished as support
7 for the projected true-up amount for this period.

8
9 Fuel and Purchased Power Cost Recovery Factors

10
11 Q. What has Tampa Electric calculated as the estimated net
12 true-up amount for the current period to be applied in
13 the January 2002 through December 2002 fuel and purchased
14 power cost recovery factors?

15
16 A. The estimated net true-up amount applicable for the
17 period January 2001 through December 2001 is an under-
18 recovery of \$88,672,735, which includes \$55,497,225 of
19 the company's estimated mid-course correction under-
20 recovery to be recovered in 2002 as filed by the company
21 on February 9, 2001 in this docket.

22
23 Q. How did Tampa Electric calculate the estimated net true-
24 up amount to be applied in the January 2002 through

1 December 2002 fuel and purchased power cost recovery
2 factors?

3

4 **A.** The net true-up amount to be recovered in 2002 is the sum
5 of the final true-up amount for the period of January
6 2000 through December 2000 and the actual/estimated true-
7 up amount for the period of January 2001 through December
8 2001.

9

10 **Q.** What did Tampa Electric calculate as the final fuel and
11 purchased power cost recovery true-up amount for 2000?

12

13 **A.** The final 2000 true-up is an under-recovery amount of
14 \$23,129,476 as shown in both Tampa Electric's February 9,
15 2001 mid-course correction and April 2, 2001 true-up
16 filings.

17

18 **Q.** What did Tampa Electric calculate as the actual/estimated
19 fuel and purchased power cost recovery true-up amount for
20 the period January 2001 through December 2001?

21

22 **A.** The actual/estimated fuel and purchased power cost
23 recovery true-up is an under-recovery amount of
24 \$65,543,259. The detailed calculation supporting the

1 actual/estimated true-up is shown in Exhibit ____ (JDJ-
2 2), Document No. 1 on Schedule E1-B.

3
4 Capacity Cost Recovery Clause

5
6 Q. What has Tampa Electric calculated as the estimated net
7 true-up amount for the current period to be applied in
8 the January 2002 through December 2002 capacity cost
9 recovery factors?

10
11 A. The estimated net true-up amount applicable for January
12 2001 through December 2001 is an under-recovery of
13 \$5,560,103 as shown in Exhibit ____ (JDJ-2), Document No.
14 2, page 2 of 3.

15
16 Q. How did Tampa Electric calculate the estimated net true-
17 up amount to be applied in the January 2002 through
18 December 2002 capacity cost recovery factors?

19
20 A. Tampa Electric calculated the net true-up amount to be
21 recovered in 2002 in the same manner as previously
22 described for the fuel and purchased power cost recovery
23 net true-up amount. The net true-up amount to be
24 recovered in the 2002 capacity cost recovery factors is
25 the sum of the final true-up amount for 2000 and the

1 actual/estimated true-up amount for January 2001 through
2 December 2001.

3
4 Q. What did Tampa Electric calculate as the final capacity
5 cost recovery true-up amount for 2000?

6
7 A. The final true-up amount is an under-recovery of \$589,079
8 per the company's April 2, 2001 true-up filing and as
9 shown in Exhibit ____ (JDJ-2), Document No. 2, page 1 of
10 3.

11
12 Q. What did Tampa Electric calculate as the actual/estimated
13 capacity cost recovery true-up amount for the period
14 January 2001 through December 2001?

15
16 A. The actual/estimated true-up amount is an under-recovery
17 of \$4,971,024 as shown on Exhibit ____ (JDJ-2), Document
18 No. 2, page 1 of 3.

19
20 Q. Does this conclude your testimony?

21
22 A. Yes it does.
23
24
25

TAMPA ELECTRIC COMPANY
DOCKET NO. 010001-EI
FILED: 09/20/01

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 PREPARED DIRECT TESTIMONY

3 OF

4 J. DENISE JORDAN

5
6 **Q.** Please state your name, address, occupation and employer.

7
8 **A.** My name is J. Denise Jordan. My business address is 702
9 North Franklin Street, Tampa, Florida 33602. I am
10 employed by Tampa Electric Company ("Tampa Electric" or
11 "company") as Director, Rates and Planning in the
12 Regulatory Affairs Department.

13
14 **Q.** Please provide a brief outline of your educational
15 background and business experience.

16
17 **A.** I received a Bachelor of Mechanical Engineering degree in
18 1987 from Georgia Institute of Technology in Atlanta,
19 Georgia. Prior to joining Tampa Electric, I accumulated
20 13 years of electric utility experience working in the
21 areas of rate design and administration, demand-side
22 management implementation, commercial and industrial
23 account management, customer service and marketing. In
24 April 2000, I joined Tampa Electric as Manager, Electric
25 Regulatory Affairs. In February 2001, I was promoted to

1 Director, Rates and Planning. My present responsibilities
2 include the areas of fuel and purchased power, capacity,
3 environmental and energy conservation cost recovery
4 clauses, and rate design and business analyses.
5

6 Q. What is the purpose of your testimony?
7

8 A. The purpose of my testimony is to present, for Commission
9 review and approval, the proposed annual capacity cost
10 recovery factors, the proposed annual levelized fuel and
11 purchased power cost recovery factors and the projected
12 wholesale incentive benchmark for January 2002 through
13 December 2002. I will also describe significant events
14 that affect the factors and provide an overview of the
15 composite effect from the various cost recovery factors
16 for 2002. In addition, I will address the regulatory
17 treatment for expenses and revenues associated with
18 hedging fuel and wholesale energy costs and capital
19 projects that are expected to reduce long-term fuel
20 costs. Finally, I will address the appropriateness of
21 offsetting excess earnings by reducing the amount of
22 prudently incurred fuel and purchased power expenses
23 recovered through the clause.
24

25 Q. Have you prepared any exhibits to support your testimony?

1 **A.** Yes. My Exhibit No. ____ (JDJ-3), consisting of four
2 documents, was prepared under my direction and
3 supervision. Document No. 1 of Exhibit No. ____ (JDJ-3)
4 is furnished as support for the projected capacity cost
5 recovery factors. In support of the proposed levelized
6 fuel and purchased power cost recovery factors, Document
7 No. 2 is comprised of Schedules E-1 through E-10 for
8 January 2002 through December 2002 and Schedule H-1 for
9 January through December, 1999 through 2002. Document
10 No. 3 provides the projected 1999 earnings refund by rate
11 schedule. Document No. 4 provides the composite effect
12 of the proposed cost recovery factors on a 1,000
13 kilowatt-hour ("kWh") residential bill.

14

15 **Capacity Cost Recovery Clause**

16 **Q.** Are you requesting Commission approval of the projected
17 capacity cost recovery factors for the company's various
18 rate schedules?

19

20 **A.** Yes. The capacity cost recovery factors, prepared under
21 my direction and supervision, are provided in Exhibit No.
22 ____ (JDJ-3), Document No. 1, Projected Capacity Cost
23 Recovery.

24

25 **Q.** What payments are included in Tampa Electric's capacity

1 cost recovery factors?

2

3 **A.** Tampa Electric is requesting recovery through the
4 capacity cost recovery factor of capacity payments for
5 purchases of power made for retail customers excluding
6 optional provision purchases for interruptible customers.

7

8 **Q.** Please summarize the proposed capacity cost recovery
9 clause factors by rate schedule for January 2002 through
10 December 2002.

11

12 A.	Capacity Cost Recovery	
13 <u>Rate Schedule</u>	<u>Factor (cents per kWh)</u>	
14 Average Factor	0.296	
15 RS	0.379	
16 GS and TS	0.350	
17 GSD, EV-X	0.269	
18 GSLD and SBF	0.245	
19 IS-1, IS-3, SBI-1, SBI-3	0.022	
20 SL-2, OL-1 and OL-3	0.041	

21

22 These factors are shown in Exhibit No. ____ (JDJ-3),
23 Document No. 1, page 3 of 3.

24

25 **Q.** How does Tampa Electric's proposed average capacity cost

1 recovery factor of 0.296 cents per kWh compare to the
2 factor for 2001?

3
4 **A.** The proposed capacity cost recovery factor is 0.097 cents
5 per kWh (or \$0.97 per 1,000 kWh) higher than the average
6 capacity cost recovery factor of 0.199 cents per kWh for
7 the January 2001 through December 2001 period.

8
9 **Fuel and Purchased Power Cost Recovery Factors**

10 **Q.** What is the appropriate value of the base fuel and
11 purchased power cost recovery factor for the year 2002?

12
13 **A.** The appropriate value for the new period is 3.301 cents
14 per kWh before the normal application of factors that
15 adjust for variations in line losses. Schedule E-1 of
16 Exhibit No. ____ (JDJ-3), Document No. 2, Fuel Projection,
17 shows the appropriate values for the total fuel and
18 purchased power cost recovery factor as projected for the
19 period January 2002 through December 2002.

20
21 **Q.** Please describe the information provided on Schedule E-
22 1C.

23
24 **A.** The GPIF and true-up factors are provided on Schedule
25 E-1C. Tampa Electric has calculated a GPIF reward of

1 \$1,095,745 which is to be included in the calculation of
2 the total fuel and purchased power cost recovery factors.

3
4 Additionally, E-1C indicates the net true-up amount for
5 the January 2001 through December 2001 period. The net
6 true-up amount for this period is an under-recovery of
7 \$88,672,735.

8
9 **Q.** Please describe the information provided on Schedule E-
10 1D.

11
12 **A.** Schedule E-1D presents Tampa Electric's on-peak and off-
13 peak fuel adjustment factors for January 2002 through
14 December 2002.

15
16 **Q.** What is the purpose of Schedule E-1E?

17
18 **A.** The purpose of Schedule E-1E is to present the standard,
19 on-peak and off-peak fuel adjustment factors after
20 adjusting for variations in line losses.

21
22 **Q.** Please summarize the proposed fuel and purchased power
23 cost recovery factors by rate schedule for January 2002
24 through December 2002.

25

1	A.	Fuel Charge	
2	<u>Rate Schedule</u>	<u>Factor (cents per kWh)</u>	
3	Average Factor	3.301	
4	RS, GS and TS	3.313	
5	RST and GST	4.535	(on-peak)
6		2.793	(off-peak)
7	SL-2, OL-1 and OL-3	3.054	
8	GSD, GSLD, and SBF	3.304	
9	GSDT, GSLDT, EV-X and SBFT	4.523	(on-peak)
10		2.786	(off-peak)
11	IS-1, IS-3, SBI-1, SBI-3	3.232	
12	IST-1, IST-3, SBIT-1, SBIT-3	4.425	(on-peak)
13		2.725	(off-peak)

15

Q. How does Tampa Electric's proposed average fuel adjustment factor of 3.301 cents per kWh compare to the average fuel adjustment factor for the April 2001 through December 2001 period?

19

A. The proposed fuel charge factor is 0.481 cents per kWh (or \$4.81 per 1,000 kWh) higher than the average fuel charge factor of 2.820 cents per kWh for the April 2001 through December 2001 period.

24

25

1 **Wholesale Incentive Benchmark Mechanism**

2 Q. What is Tampa Electric's projected wholesale incentive
3 benchmark for 2002?

4
5 A. The company's projected 2002 benchmark is \$2,283,019,
6 which is the three-year average of \$2,273,119, \$2,582,191
7 and \$1,993,747 in gains on the company's non-separated
8 wholesale sales, excluding emergency, for 1999, 2000 and
9 2001 (estimated/actual), respectively.

10

11 Q. Does Tampa Electric expect gains in 2002 from non-
12 separated wholesale sales to exceed its 2002 wholesale
13 incentive benchmark?

14

15 A. No. Tampa Electric does not anticipate exceeding the
16 projected benchmark; therefore, 100 percent of the gains
17 will flow back to ratepayers.

18

19 **Events Affecting the Projection Filing**

20 Q. Are there any significant events reflected in the
21 calculation of the 2002 Fuel and Purchased Power and
22 Capacity Cost Recovery projections that were not
23 reflected in last year's projections?

24

25 A. Yes. There are four significant events. These are 1)

1 the deferred estimated mid-course correction under-
2 recovery of \$55.5 million to be recovered in 2002, 2) the
3 new purchased power agreements including the leasing of
4 self-contained portable generators, 3) operational events
5 at Big Bend and Gannon Stations, and 4) the refund
6 associated with Docket Nos. 950379-EI and 960409-EI.

7
8 **Q.** Please describe the first event that impacts the
9 company's projection filing.

10
11 **A.** On February 9, 2001, the company filed for a mid-course
12 correction of its fuel and purchased power fuel factors.
13 The company expected its fuel and purchased power total
14 under-recovery through December 31, 2001 to be
15 \$86,335,390, which included the 2000 final true-up under-
16 recovery of \$23,129,476 and the January through December
17 2001 estimated reforecasted under-recovery of
18 \$63,205,914. The company proposed that the correction be
19 based on approximately 50 percent of the \$63,205,914
20 under-recovery being recovered during the April 2001
21 through December 2001 period. The remainder of the
22 under-recovery and the 2000 final true-up, a total of
23 \$55,497,225 is being recovered in the January 2002
24 through December 2002 period. This comprises a
25 significant portion of the company's total under-

1 recovery.

2

3 Q. Please describe the second event that impacts the
4 company's projection filing.

5

6 A. In an effort to improve system reliability for retail
7 ratepayers in 2001, 2002 and beyond at reasonable and
8 prudent costs, Tampa Electric explored numerous options.
9 As a result, the company negotiated new purchased power
10 agreements and also contracted to lease self-contained
11 portable generators. The direct testimony of Tampa
12 Electric witness W. L. Brown describes these purchases
13 and the lease contract, and demonstrates that the costs
14 associated with these purchased power agreements and
15 leases are prudent and appropriate for recovery through
16 the Fuel and Purchased Power and Capacity Cost Recovery
17 Clauses.

18

19 Q. Please describe the third event.

20

21 A. As described in the direct testimony of Tampa Electric's
22 witness M. J. Hornick, the company has experienced
23 increased needs for purchased power in 2001 due to
24 extended outages as a result of environmental constraints
25 at Big Bend Station and an infestation of non-indigenous

1 green lip mussels in Tampa Bay which impacted operation
2 at Gannon Station. In addition, due to the tie-in work
3 for the repowering of Gannon Station, the company has
4 negotiated several new firm capacity and energy purchases
5 to meet desired operating reserves which will impact
6 purchased power and capacity costs for 2002.

7
8 Q. Please describe the fourth event.

9
10 A. The fourth event relates to the refund contemplated in
11 Order No. PSC-96-1300-S-EI from Docket No. 960409-EI.
12 The Order specifies that the total refund associated with
13 1999 earnings is to be provided to customers at a rate of
14 \$2 million per month until the entire refund is
15 exhausted. The refund is to be reflected as a credit on
16 customers' bills calculated by multiplying a levelized
17 factor adjusted for line losses times the actual kWh
18 usage for the period of the refund. The refund is to
19 include interest on the unamortized amount of the refund.

20
21 Pending the direction of the Standard Order to be issued
22 in Docket No. 950379-EI due November 26, 2001, the
23 company expects that the total amount to be refunded is
24 \$6.37 million, which includes interest through December
25 31, 2001. This amount will be refunded to customers

1 beginning in January 2002 at a rate of approximately \$2
2 million per month over a three-month period. This is
3 shown in Exhibit___(JDJ-3), Document No. 3.

4
5 **Cost Recovery Factors**

6 **Q.** What is the composite effect of Tampa Electric's proposed
7 changes in its capacity, fuel and purchased power and
8 environmental cost recovery factors on a 1,000 kWh
9 residential customer's bill?

10
11 **A.** The composite effect on a residential bill for 1,000 kWh
12 is an increase of \$6.15 beginning January 2002. These
13 charges are shown in Exhibit___(JDJ-3), Document No. 4.

14
15 **Q.** When should the new rates go into effect?

16
17 **A.** The new rates should go into effect concurrent with the
18 first billing cycle for January 2002.

19
20 **Regulatory Treatment- Hedging**

21 **Q.** What is the appropriate regulatory treatment for gains
22 and losses from hedging an investor-owned electric
23 utility's fuel transactions through futures contracts?

24
25 **A.** If Tampa Electric were to take any offsetting financial

1 positions to insulate ratepayers from fluctuations or to
2 levelize fuel costs and wholesale energy prices, the
3 associated revenues and expenses that result from the
4 hedging transactions should be flowed through the fuel
5 and purchased power cost recovery clause. The
6 benefactors of Tampa Electric employing a strategy of
7 entering into exchange-based derivatives, forward
8 contracts or insurance to stabilize prices are the
9 ratepayers; therefore, ratepayers should receive the
10 benefits of any gains and be responsible for any losses
11 resulting from hedging fuel transactions through futures
12 contracts.

13
14 **Q.** What is the appropriate regulatory treatment for the
15 premiums received and paid for hedging an investor-owned
16 electric utility's fuel transactions through options
17 contracts?

18
19 **A.** As I previously stated, revenues and expenses that result
20 from hedging transactions that Tampa Electric enters into
21 to insulate ratepayers from fluctuations or to levelize
22 fuel and wholesale energy costs should be recovered
23 through the fuel and purchased power cost recovery
24 clause. This includes the premiums received and paid for
25 hedging fuel transactions through options contracts.

1 Q. What is the appropriate regulatory treatment for the
2 transaction costs associated with an investor-owned
3 electric utility hedging its fuel transactions?

4
5 A. All transaction costs associated with hedging fuel and
6 wholesale energy costs to help avoid or limit the risk of
7 price fluctuations for the benefits of our ratepayers
8 should be recovered through the fuel and purchased power
9 cost recovery clause.

10

11 **Regulatory Treatment- Capital Expenditures**

12 Q. What is the appropriate regulatory treatment for capital
13 projects with an in-service date on or after January 1,
14 2002, that are expected to reduce long-term fuel costs?

15

16 A. Tampa Electric is not seeking recovery of any capital
17 expenditures for projects with an in-service date on or
18 after January 1, 2002 that are expected to reduce long-
19 term fuel costs. However, if the company were to seek
20 recovery for such capital projects, the appropriate
21 regulatory treatment would be to recover the costs of the
22 investments and the associated carrying costs through the
23 fuel and purchased power cost recovery clause.

24

25 Q. What is the appropriate rate of return on the unamortized

1 balance of capital projects with an in-service date on or
2 after January 1, 2002, that are expected to reduce long-
3 term fuel costs?
4

5 A. As previously stated, Tampa Electric is not seeking
6 recovery of any capital expenditures for projects with an
7 in-service date on or after January 1, 2002 that are
8 expected to reduce long-term fuel costs. However, if the
9 company were to seek recovery for such capital projects,
10 the appropriate rate of return on the unamortized balance
11 would be the mid-point of the company's allowed return on
12 equity range approved by the Commission during the
13 company's last rate case.
14

15 **Regulatory Treatment - Over-earnings**

16 Q. If an investor-owned utility exceeds its authorized
17 return on equity ceiling, can and/or should the
18 Commission reduce by a commensurate amount the recovery
19 of prudently-incurred expenditures through the fuel and
20 purchased power cost recovery clause?
21

22 A. Whether the Commission can legally reduce a utility's
23 recovery of prudently incurred fuel and purchased power
24 costs to offset over-earnings is a legal issue the
25 resolution of which could depend upon the facts and

1 circumstances of any such action. As a matter of policy,
2 the Commission should not deduct any over-earnings from
3 prudently incurred fuel and purchased power costs that
4 are otherwise recoverable through the fuel adjustment
5 mechanism. The fuel and purchased power cost recovery
6 mechanism and base rates are two entirely different
7 ratemaking concepts. The fuel adjustment clause was
8 designed to accommodate volatility in fuel prices and to
9 effect a nonprofit, dollar for dollar recovery of fuel
10 costs. Base rates, on the other hand, are fixed over
11 time based on a representative test period and are
12 intended to allow for the recovery, within a range, of
13 the nonfuel related costs of providing electric service,
14 including a reasonable return on the utility's invested
15 capital.
16

17 Mixing the fuel adjustment mechanism with base rates
18 would cause nothing but confusion, delay and inequity.
19 This would defeat the very purpose of the fuel adjustment
20 clause. The Legislature has a prescribed procedure for
21 handling situations where a party contends a utility is
22 earning above or below the range of reasonableness of its
23 authorized rate of return. That procedure is set forth
24 in Section 366.071, Florida Statutes, and has been used
25 effectively by the Commission together with its

1 continuing surveillance program to assert jurisdiction
2 over earnings claimed to be higher than the utility's
3 authorized range.

4
5 Over-earnings do not render prudently incurred fuel costs
6 imprudent, any more than under-earnings legitimize
7 imprudent fuel costs. Deducting alleged over-earnings
8 from prudently incurred and otherwise recoverable fuel
9 and purchased power costs makes no more sense than
10 artificially surcharging customers through the fuel
11 adjustment mechanism to make up for under-earnings a
12 utility might experience.

13
14 Q. Does this conclude your testimony?

15
16 A. Yes, it does.

17
18
19
20
21
22
23
24
25

1 BY MR. BEASLEY:

2 Q Ms. Jordan, could you please summarize your prepared
3 direct testimonies?

4 A Good afternoon, Commissioners. My direct testimony
5 presents for Commission review and approval the proposed annual
6 capacity cost-recovery factors, the proposed annual levelized
7 fuel and purchased power cost factors and the projected
8 wholesale incentive benchmark for January 2000 through December
9 2002. Because the issue of the jurisdictional cost-recovery
10 for fuel and purchased power have become a significant issue in
11 this docket, I think it would be helpful to focus a moment on
12 the Schedules E1 and E2 in Document Number 2 of my Exhibit
13 JDJ-3. Line 11 of Schedule E2 demonstrates the use of an
14 energy jurisdictional separation factor. This factor is
15 calculated on a monthly basis and is applied to the total fuel
16 and net power transaction costs.

17 COMMISSIONER DEASON: Excuse me. You referred to us
18 what?

19 THE WITNESS: To my projected testimony Exhibit
20 JDJ-3, Document Number 2.

21 CHAIRMAN JACOBS: Schedule E2?

22 THE WITNESS: Yes, Line 11.

23 COMMISSIONER DEASON: And this accompanies which of
24 your -- you had three testimonies, it accompanies which
25 testimony?

1 THE WITNESS: The projected 2002.

2 COMMISSIONER DEASON: What date was that filed?

3 CHAIRMAN JACOBS: 9/20.

4 THE WITNESS: That was filed September 20th on Page
5 29.

6 COMMISSIONER DEASON: Okay. Thank you.

7 THE WITNESS: This factor is calculated on a monthly
8 basis and is applied to the total fuel and net power
9 transaction costs for each month to determine the appropriate
10 amount of cost to be assigned to the retail jurisdiction. For
11 2002, retail customers were appropriately assigned
12 approximately 94 percent of the total fuel and purchased power
13 costs. The remaining 6 percent of the total fuel and net power
14 transactions cost is assigned to the company's wholesale
15 separated customers. Tampa Electric's wholesale customers are
16 assigned their pro rata share of Tampa Electric's total fuel
17 and net power transaction costs in the exact same ratio of
18 their megawatt hour purchases to Tampa Electric's total
19 megawatt hour sales.

20 Furthermore, on Schedule E1, Line 29, in my testimony
21 that is Page 24, it shows the removal of the fuel and purchased
22 power costs of separated wholesale sales from the system total,
23 which results in the fuel and purchased power costs assigned to
24 retail customers. These schedules demonstrate that wholesale
25 customers are assigned a pro rata share of all costs which

1 includes not only the costs of Tampa Electric's native
2 generation, but purchased power costs, as well. Therefore,
3 retail customers are not paying 100 percent of purchased power
4 costs as alleged by FIPUG.

5 Schedule E1 also shows the relative costs on a cents
6 per kWh basis assigned to retail customers and
7 nonjurisdictional wholesale customers. Column 3 of that
8 schedule at Lines 19 and 30 shows that the retail and wholesale
9 customers are assigned approximately the same costs per kWh.
10 This should alleviate any concern that wholesale customers
11 might be receiving the benefits of more efficient or less
12 costly generation. Tampa Electric has correctly assigned fuel
13 and purchased power expenses to the retail jurisdiction and
14 respectfully requests that the Commission approve Tampa
15 Electric's recovery of its prudently incurred costs.

16 That concludes my summary.

17 MR. BEASLEY: We tender Ms. Jordan for questions.

18 MR. VANDIVER: No questions.

19 CHAIRMAN JACOBS: Mr. McWhirter. I'm sorry, we will
20 go in order. Mr. McWhirter.

21 CROSS EXAMINATION

22 BY MR. McWHIRTER:

23 Q Ms. Jordan, let's go first to the Schedule E1 that
24 you discussed. And you went to Line 29, and that is your
25 wholesale megawatt hour sales. And you sold 1,179,208 megawatt

1 hours of wholesale sales?

2 A That is correct.

3 Q And then in addition to that if you look at Lines 13,
4 15, and 17, you sold another 775,753 megawatt hours, is that
5 correct?

6 A Yes, of nonseparated sales.

7 Q So in Line 15 where it says fuel costs of Schedule D
8 HPP sales, separated, that is a nonseparated sale?

9 A That is a separated sale. That is a separated sale
10 that came before the Commission and was approved to have
11 treatment other than system average.

12 Q All right. I will get back to that in a minute.
13 With respect to Schedule D sales, these sales were not
14 separated as they were in the 1993 rate case that you addressed
15 or that has been filed as a document of which we take
16 officially notice?

17 A Are you referring to Line 13?

18 Q Yes.

19 A That is a sale that is made to Seminole Electric
20 which is for the benefit of a nonfirm retail customer.

21 Q Line 13, the Schedule D sale is a sale to Seminole
22 Electric?

23 A Correct. That is wheeled then to Peace River Co-op
24 that I think ultimately is provided to one of your FIPUG
25 members.

1 Q And you charge \$14.68 for that sale?

2 A Correct.

3 Q Now, with respect to the sales that we have just
4 mentioned, are those sales charged to average fuel costs?

5 A Which sales that we just -- we talked about a lot of
6 sales.

7 Q The ones that appear on Lines 13, 15, and 17.

8 A The lines that are market-based sales are charged
9 whatever the market will bear.

10 Q I see.

11 A The HPP sale is a unit sale that Mr. Beasley referred
12 to earlier. And the other sale on Line 13, as I mentioned, is
13 really a territorial arrangement for a nonfirm retail customer,
14 so it is based on a retail rate.

15 Q All right. With respect to Line 15, the sales to
16 HPP, is that Hardee Power Partners?

17 A That is correct.

18 Q And Hardee Power Partners is an affiliated company of
19 Tampa Electric Company?

20 A That is correct.

21 Q And you sold 486,000 megawatt hours to that entity?

22 A Yes.

23 Q And you charged \$25.62 a megawatt hour?

24 A Correct.

25 Q And in this case you are seeking to set a fuel factor

1 for retail customers of \$33.01 a megawatt hour, is that
2 correct?

3 A That is correct.

4 Q And that price has on top of it this GPIF adjusted
5 for taxes. What is GPIF?

6 A The generation performance incentive factor.

7 Q And that is the testimony Mr. Keselowsky presented?

8 A Yes.

9 Q Is that the correct pronunciation?

10 A Close enough.

11 Q Close enough. And under that, as I understand the
12 general theory is if you do a good job in running your most
13 efficient units, the ones with the lowest heat rate, then Tampa
14 Electric is entitled to a reward. Is that in essence what it
15 is about?

16 A I take your word on that. Mr. Keselowsky is probably
17 the better person to ask questions with regard to the GPIF.

18 Q You don't know the answer to that?

19 A I don't know the details, no, I don't.

20 Q Now, let's go up to Line 15, the Hardee Power sales.
21 When you sell to Hardee Power, is that from a specific unit or
22 is it from all units?

23 A The Hardee Power Partners is a Big Bend 4 sale.

24 Q And is Big Bend 4 one of your more efficient or less
25 efficient units? You don't know?

1 A You're getting outside of my range.

2 Q I see. And do you know whether Big Bend 4 is used in
3 Mr. Keselowsky's testimony in determining the GPIF reward?

4 A I would assume that since it is one of our largest
5 units that it is probably in there.

6 Q All right. Now, is any portion of that million
7 dollars you are seeking on Line 39 passed through to Hardee
8 Power Partners? Does it -- it's a ratio of purchases to your
9 total sales, does it bear its portion of the GPIF?

10 A I don't understand the question, I guess.

11 Q Well, you are charging customers a million dollars
12 for the reward on the GPIF, as I understand that line. Do you
13 charge Hardee Power Partners anything for GPIF? You don't
14 know?

15 A I don't know. I'm not really sure what you're asking
16 with regards to that.

17 Q You don't know what I'm asking you. Would you like
18 me to repeat it?

19 A If you could rephrase it, it might be helpful.

20 Q All right. Customers under your derivation,
21 calculation of the fuel factor are charged a million dollars,
22 and that is divided up as 6/10th of a mill per kilowatt hour,
23 or, I guess, that would be 61 cents a megawatt hour?

24 A Okay.

25 Q It may be 6 cents. Let's see. I think it is 61

1 cents. Is Hardee Power Partners charged 61 cents for each
2 megawatt hour it purchases as a result of the GPIF reward?

3 A I don't see the correlation there. I mean, I don't
4 know what would be special to charge Hardee as opposed to any
5 other generation facility.

6 Q Can you answer the question yes or no?

7 A Then I would assume no.

8 Q All right. With respect to the \$88 million, or, I
9 guess, \$4.99 a month for every thousand kilowatt hours
10 consumed, does Hardee Power Partners, your affiliated company,
11 pay any portion of that \$88 million?

12 A The customers are responsible for the underrecovery
13 as far as the generation. That is a sale that is being made,
14 so it is actually reducing the requirement, the cost.

15 Q Well, as I understood this \$88 million number on Line
16 33, that is a true-up, and that is an increase in the price
17 charged to customers.

18 A That's correct. But the sale to Hardee has a benefit
19 to the customers. Therefore, when you're looking at the total
20 cost, you're taking your generation and you're taking the
21 purchased power costs and then you are backing out what you are
22 making on the sale. So actually that is a benefit to make
23 those sales.

24 Q You're backing out the \$25.62. But if you added the
25 true-up factor to it, you would be backing out \$26, wouldn't

1 you?

2 A Why would you add a true-up factor to a sale? I'm
3 missing where you're going.

4 Q Well, you indicated that your wholesale customers and
5 your retail customers share in the purchased power costs, and I
6 was wondering if any portion of that \$4.99 a megawatt hour is
7 charged to your affiliated company, Hardee Power Partners?

8 A It is no more charged to them than it is to any
9 market-based sale that we make.

10 Q I see. Okay. Now, if you go to your Schedule A6 --

11 A Could you refer me to a document, please.

12 Q It's on Page 47 of your Exhibit 3.

13 A A6?

14 Q Yes, ma'am.

15 A E6, you mean?

16 Q E6. Did I say A6? I apologize. It's E6 when it is
17 prospective, what you are going to do the next year?

18 A Correct. I just want to make sure I'm on the right
19 page.

20 Q And A is what you did last year, is that right?
21 Okay. Now, I notice that down near the bottom, right beyond
22 December 2nd you have HPP, that is Hardee Power Partners, on
23 Page 47?

24 A Yes.

25 Q And you collect as fuel costs from Hardee Power

1 Partners, \$25.62, and that is carried forward to Line 15 of
2 Schedule E1, correct?

3 A Yes. The summary that is down below is the same
4 lines we just talked about on the E1 schedule.

5 Q Now, you also collect another 85 cents or so per
6 megawatt hour from Hardee Power Partners, and I don't see that
7 on Schedule E1. If that is money collected, why --

8 A That is the O&M piece. That is the O&M, the
9 operation and maintenance piece that is credited to other
10 operating revenues.

11 Q I see.

12 A Per the wholesale incentives docket.

13 Q So that means when you operate Big Bend 4 for every
14 megawatt hour you produce it is about -- what is the difference
15 between 36.10 and 25.62? I guess it is about 50 cents. That
16 is 50 cents O&M, but you don't charge 50 cents O&M to the
17 market-based sales which is on the next line down, is that
18 right?

19 A The reason -- we do charge O&M, you don't see it,
20 because on the Hardee, we started making those the same because
21 of the change in the wholesale incentives docket, but we do
22 charge an O&M piece that is credited to other operating
23 revenues, it is just not reflected in the total cost.

24 Q Where does it show in your exhibit?

25 A It isn't here.

1 Q Can you provide any proof on what O&M is charged?

2 A Yes. You have asked us that in an interrogatory and
3 we did provide that information.

4 Q You gave it in an interrogatory, but you haven't
5 filed it in this docket?

6 A Right. Well, we filed it within the docket in the
7 interrogatories.

8 Q Yes. It's not yet in evidence?

9 A Yes.

10 Q And with respect to that charge, does that flow
11 through to the retail consumers or does that flow through
12 above-the-line to Tampa Electric Company?

13 A Per the wholesale incentives docket for the
14 calculation of the gains, the other operating revenues is
15 flowed to Tampa Electric.

16 Q I see. Now, let's go over here to Schedule E7, and
17 that is the electricity you're going to buy this year. And you
18 are going to buy a million megawatt hours or more from your
19 affiliated company, Hardee Power Partners, and you are going to
20 charge --

21 MR. BEASLEY: Where are you referring to on that
22 schedule, if you would, please.

23 MR. McWHIRTER: Go to Page 49, and look on the
24 left-hand column. You will see the word through, and you see
25 HPP, and we will see the number of megawatt hours that you

1 purchased from your affiliated company.

2 BY MR. McWHIRTER:

3 Q And when you buy power, you charge Tampa Electric,
4 the load serving utility, \$46.19, but when you sell power you
5 charge Hardee Power \$25.62. And can you tell me whether it
6 ever happens that those sales are occurring simultaneously,
7 you're buying and selling at the same time?

8 A I would think we are. Mr. Brown could probably tell
9 you for sure.

10 Q All right. Now, most of the utilities had a Schedule
11 E1, and then they have a Schedule E1-B, and in that E1-B the
12 utilities, all the utilities except your company explain how
13 you come up with the true-up number that appears on Line 33.
14 And it appears that you didn't have an E1-B at the time you
15 filed your testimony.

16 A Could I refer you to my testimony from August 20th.
17 I think the E1-B for the true-up within the period is filed
18 within that testimony. Exhibit JDJ-2 filed August 20th,
19 Document Number 1, does provide the E1-B, which shows the
20 calculation of the \$65,543,259 underrecovery for the period for
21 2001 in the actual estimated filing.

22 Q But the number here is \$88 million.

23 A That includes the 23.1 million that was the final
24 true-up from 2000.

25 Q So, the current year is 23 from 2000, and --

1 A And the current year of 65.5 million.

2 (Simultaneous conversation.)

3 CHAIRMAN JACOBS: Let's get one at a time talking,
4 otherwise you get the court reporter in dire straits.

5 MR. McWHIRTER: I'm sorry.

6 BY MR. McWHIRTER:

7 Q Now, in that Schedule E1-B attached to your August
8 20th testimony, you have a breakdown between wholesale and
9 retail customers. Can you show me where that breakout occurs?

10 A B1 is the megawatt hours associated for the retail
11 jurisdiction. B2 are the megawatt hour sales associated for
12 the separated wholesale sale. B4 is the energy jurisdictional
13 separation factor which is applied monthly to result in the
14 jurisdictional retail fuel recovery revenue.

15 Q All right. Now, so what we saw in December, you
16 project in December that 97 percent of your sales will be for
17 the retail market?

18 A Correct.

19 Q And what is the annual component, the average annual
20 component?

21 A I don't know. I think it was 93, 94 percent on the
22 annual. And for 2000 it is 94 percent.

23 Q But as I'm looking at E1-B, I don't see any entries
24 as low as 94 percent, so the average must be more than 94
25 percent, isn't that correct?

1 A Are you asking me on a projected or what it actually
2 ended up being?

3 Q Projected.

4 A I don't know what it was on projected, I'm sorry. I
5 just have it monthly. On an actual basis I think it was in the
6 neighborhood of 93.

7 Q When you do that percentage as wholesale sales, do
8 you include the sales to Hardee Power Partners, your affiliated
9 company?

10 A The E6 that we report, we report the nonseparated
11 nonfirm sales, and we report also the Hardee sales, as well.
12 So when we come up with the total costs we take the native
13 generation costs, the purchased power costs, minus the sales,
14 and then that is applied, that cost is allocated based on this
15 energy factor for the retail piece.

16 Q So that --

17 A So the cost, the benefit of the sales, the benefit of
18 the nonfirm sales and the benefit of the HPP sale, the
19 market-based sales, all of those sales have been removed from
20 the cost responsibility for the wholesale and for the retail.

21 Q Oh, I see. So those sales don't have any obligation
22 to participate in the true-up on your --

23 A Those sales are lowering the overall system costs,
24 therefore helping the retail customer.

25 Q But if you allocated some of the true-up to them,

1 they would lower it even more, wouldn't they?

2 A You're making the sale, you are making the sale in
3 order to mitigate your costs that you are passing on to your
4 retail customers, so they are helping to lower that
5 underrecovery.

6 Q To the degree that you allocate. But if you
7 allocated more they would help more, right?

8 A Correct. If you allocated more, yes, but then you
9 may not be able to make the sale, or you may not get the
10 benefit of like the \$90 million that Mr. Beasley referred to
11 earlier which justifies that are not shown anywhere on these
12 schedules. There are other benefits that the A Schedules or
13 the E Schedules would not pick up that are beyond fuel because
14 it is a separated sale.

15 Q Now, that benefit was calculated in what year?

16 A '93. '92/'93, I guess.

17 Q In '93. And that is, what, nine years ago?

18 A Yes. But all that time the retail ratepayers have
19 not had those costs in their rates. So regardless of when it
20 was calculated, it was calculated going forward that we would
21 not be responsible for those costs. So they have benefitted
22 all of those years.

23 Q Let me -- when you say costs, are you talking about
24 fuel costs or are you talking about --

25 A I'm talking about the fixed costs.

1 Q Fixed costs. So do all of your generating plants
2 cost the same thing when you bought them? When they go into
3 rate base, do they all go in at the same price?

4 A I'm sure they don't, sir.

5 Q Do some go in at a higher price than others, or do
6 they all go in at the same price?

7 A I think we just established that they don't go in all
8 at the same price, so some are high and some are low.

9 Q So when you separated Big Bend 4 and made the sale to
10 Hardee, did you use the actual costs that related to that unit
11 or did you use system average costs?

12 A I wasn't involved, but I would assume that based on
13 pretty much Commission policy it was system average costs.

14 Q I see. So if the system average cost was \$100 a
15 kilowatt, and the Big Bend 4 costs \$500 a kilowatt, I guess you
16 have got to figure out how many megawatts it would be for the
17 overall, but it would be somewhat less if that were your most
18 expensive plant, wouldn't it?

19 A Possibly.

20 Q Uh-huh. But that information -- we are able to
21 determine if we can have a full investigation of the current
22 circumstances, wouldn't we?

23 A I'm not sure what information you are referring to
24 when you make that statement.

25 Q Well, when you make the separation, you made a unit

1 power sale, we can determine whether or not you have segregated
2 from your rate base the value of that specific unit or if you
3 used some average cost for all of your units?

4 A In order for that sale to take place it had to come
5 before the Commission, and I would have to assume -- I mean, I
6 wasn't personally involved, but I would have to assume that
7 that information was provided in order to show the benefits of
8 the sale in order to go forward. So I think that would have
9 been addressed at that point in time. And we know that we
10 haven't changed the rates since that went into effect. So in
11 terms of the separation, the benefit is still going forward
12 today.

13 Q Well, let's talk about that a minute. With respect
14 to the benefit going forward today, wouldn't it be fair to say
15 that retail customers would be a lot better off if they could
16 get the power that is generated by Big Bend 4 in their fuel
17 costs rather than a portion of the purchased power costs,
18 eliminate those purchases and let the retail customers have Big
19 Bend 4, wouldn't they be better off?

20 A If you were asking me to look at it first with
21 hindsight, then I probably could say that. But the other piece
22 is that I haven't done an analysis, I don't know what the
23 impact would be to base rates. Because what you're saying is
24 you wouldn't have made the separated sale and you would have
25 kept the capacity. Therefore, the retail customers would have

1 had to pay for that entire capacity all of these years. So I
2 can't say with certainty that they would be better off because
3 they would now have the benefit of the fuel.

4 Q Did you make any current study to see that in either
5 the year 2000, 2001, or the prospective year retail customers
6 are benefitting from the sale to Hardee Power Partners?

7 A I have not made any analysis of that. And really, I
8 guess I go back to what I said to you originally. It is a
9 separated sale. And, therefore, those costs are not being
10 borne by the ratepayers. So there is a benefit that is there
11 regardless.

12 Q But you don't know what it is, and you haven't
13 calculated it, and you have presented no evidence in this
14 proceeding as to what it is, have you?

15 A I'm not sure that I would really need to present
16 evidence on the benefit of the separated sale from the
17 standpoint of it benefitting the ratepayers.

18 MR. McWHIRTER: I tender the witness.

19 CHAIRMAN JACOBS: Questions, staff.

20 CROSS EXAMINATION

21 BY MR. KEATING:

22 Q Ms. Jordan, I just have a few questions regarding
23 TECO's forecasts that were used to develop the factors in this
24 docket, the cost-recovery factors.

25 A Yes.

1 Q Has TECO updated its energy and demand forecasts used
2 to support its filing in this docket to take into account the
3 economic impacts of the September 11th terrorist attacks?

4 A We have looked at it on a somewhat high level. We
5 have not updated our forecasts. There is a feeling from a high
6 level perspective that we may not be as impacted at this point.
7 We have put forth that we will continue to look at the actual
8 compared to the budget, and if we see any deviation at that
9 point, go into a further detailed analysis.

10 Q So is it your testimony that at this point in time,
11 at least from a broad view or a view from up high that there is
12 not going to be, in your opinion, a material impact on the
13 factors?

14 A Right now basically we just feel that it is a little
15 premature for us to have enough conclusive information to truly
16 do a new forecast that would have any more certainty than what
17 we currently have filed.

18 Q So you can't say at this point whether TECO expects
19 that any updated forecast would materially affect its 2002 fuel
20 and capacity factors?

21 A That is correct.

22 MR. KEATING: Thank you.

23 CHAIRMAN JACOBS: Commissioners.

24 COMMISSIONER DEASON: I have a quick question. The
25 unit power sales contract that Mr. McWhirter was referring to,

1 and is indicated with the HPP designation?

2 THE WITNESS: Yes.

3 COMMISSIONER DEASON: Hardee Power Partners, that is
4 subject to a contract, correct?

5 THE WITNESS: That is correct.

6 COMMISSIONER DEASON: What is the term of that
7 contract?

8 THE WITNESS: Mr. Brown, Witness Brown would probably
9 be in a better position to answer that.

10 COMMISSIONER DEASON: That's fine, I will ask him.
11 Thank you.

12 CHAIRMAN JACOBS: Redirect.

13 MR. BEASLEY: I have no redirect. I would like to
14 move the admission of Exhibits 1 through 3.

15 CHAIRMAN JACOBS: Without objection, show Exhibits 1
16 through 3 are admitted.

17 (Exhibits 1, 2, and 3 admitted into the record.)

18 MR. BEASLEY: I would call Mr. Lynn Brown.

19 CHAIRMAN JACOBS: Thank you. You are excused, Ms.
20 Jordan.

21 Mr. Beasley, I had a corrected E4 here, is that -- I
22 assume that is a part of the exhibits that we had previously
23 identified?

24 MR. BEASLEY: Yes, sir.

25 CHAIRMAN JACOBS: Okay. So, I will show that as --

1 the corrected E4 as a part of that.

2 MR. BEASLEY: Thank you.

3 W. LYNN BROWN

4 was called as a witness on behalf of Tampa Electric Company,
5 and, having been duly sworn, testified as follows:

6 DIRECT EXAMINATION

7 BY MR. BEASLEY:

8 Q Mr. Brown, would you please state your name, your
9 business address, and your position with Tampa Electric
10 Company?

11 A W. Lynn Brown, I am Director of Wholesale Marketing,
12 Tampa Electric Company. The business address is 702 North
13 Franklin Street, Tampa 33602.

14 Q Did you prepare and submit in this proceeding a
15 document entitled prepared direct testimony of W. Lynn Brown?

16 A Yes, I did.

17 Q If I were to ask you the questions contained in that
18 testimony, would your answers be the same?

19 A Yes, they would.

20 MR. BEASLEY: I would ask that Mr. Brown's testimony
21 be inserted into the record as though read.

22 CHAIRMAN JACOBS: Without objection, show Mr. Brown's
23 testimony is entered into the record as though read.

24 MR. BEASLEY: And that direct testimony is not
25 accompanied by an exhibit, so I will ask Mr. Brown to proceed

1 with a summary of his testimony.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE PUBLIC SERVICE COMMISSION

PREPARED DIRECT TESTIMONY

OF

W. LYNN BROWN

Q. Please state your name, address, occupation and employer.

A. My name is Lynn Brown. My business address is 702 North Franklin Street, Tampa, Florida 33602. I am employed by Tampa Electric Company ("Tampa Electric" or "company") as Director, Wholesale Marketing and Sales.

Q. Please provide a brief outline of your educational background and business experience.

A. I received a Bachelor degree in Electrical Engineering from Louisiana State University in 1972 and subsequently joined Tampa Electric. I held various engineering, operations and managerial positions in Energy Delivery from 1973 through 1997. I became Manager of Short Term Wholesale Trading in April 1997 and was promoted to Director, Wholesale Marketing and Sales in August of 1998 where I am responsible for short- and long-term wholesale power purchases and sales.

1 Q. Have you previously testified before the Florida Public
2 Service Commission ("Commission")?

3
4 A. Yes. I testified before this Commission in Docket No.
5 990001-EI regarding the appropriateness and prudence of
6 various purchased power agreements. I testified in
7 Docket No. 991779-EI regarding the appropriate
8 application of incentives to wholesale power sales by
9 investor-owned electric utilities. In addition, I
10 testified in Docket No. 010283-EI addressing the
11 appropriate regulatory treatment for non-separated
12 wholesale energy sales by investor-owned electric
13 utilities.

14
15 Q. What is the purpose of your direct testimony in this
16 proceeding?

17
18 A. The purpose of my testimony is to provide an overview of
19 the wholesale energy market and a description of Tampa
20 Electric's wholesale energy purchases and sales
21 activities from 1998 through 2001. I describe the key
22 activities Tampa Electric has undertaken in an effort to
23 take advantage of wholesale purchase and sale
24 opportunities for the benefit of its general body of
25 ratepayers. In addition, I describe the benefits Tampa

1 Electric achieved for its general body of ratepayers
2 through economy purchases and sales activities. I will
3 also provide an overview of the purchased power
4 agreements that Tampa Electric has entered into and for
5 which it is seeking cost recovery through the Fuel and
6 Purchased Power Cost Recovery and Capacity Cost Recovery
7 Clauses. My testimony also describes Tampa Electric's
8 purchased power strategy, which mitigates supply-side
9 risk while providing customers with economically priced
10 purchased power. Finally, I address the appropriateness
11 of encouraging utilities to implement wholesale energy
12 hedging strategies to manage risk.

13
14 Q. Please describe the wholesale energy market for the
15 period 1998 through 2001.

16
17 A. The wholesale energy market has been very active and
18 volatile over the period of 1998 through 2001. Each
19 year, the market is essentially divided into two distinct
20 periods, June through August (summer) and September
21 through May. High prices and volatility have occurred
22 during the summer periods, however, short-term price
23 spikes have also occurred in the spring, winter and fall.

24
25 Forwards prices for the summer of 1998 were well below

1 the spot market. Hot weather in the mid-west and
2 northeast caused the short-term market to peak in July.
3 This led to the demise of certain power marketing firms
4 which further exacerbated the problem. Spot market
5 prices increased dramatically.

6
7 In 1999, forwards summer period prices were again below
8 spot prices. This was the result of hot weather in the
9 northern states combined with numerous generating unit
10 outages. Again, spot market prices increased
11 dramatically.

12
13 Milder weather in the summer of 2000 quieted the eastern
14 U.S. spot markets, which were under the forwards market's
15 prices. California, however, experienced high spot
16 prices due to hot weather and insufficient generation.
17 In 2000, concern was focused on natural gas prices, which
18 began rising in June 2000 and peaked in January 2001.
19 High gas prices affected the entire nation, but were most
20 prevalent in California. These events caused the forwards
21 wholesale energy markets to rise. This rise was
22 especially prevalent during the first five months of
23 2001. High winter gas prices and a rise in the spring
24 forwards market impacted Tampa Electric because of its
25 planned generation maintenance activities during the

1 period. For example, forwards pricing for April 2001 was
2 \$52.00/MWH versus \$25.00/MWH for April 2000, as of
3 February of each year.

4
5 This year, mild summer weather and a softer than expected
6 gas market caused spot wholesale energy prices to be
7 lower than the forwards market.

8
9 Q. Please describe Tampa Electric's wholesale energy
10 purchases and sales activities for the years 1998 through
11 2001.

12
13 A. Tampa Electric generated 89 percent of its customers'
14 total energy needs from 1998 through 2000 and 83 percent
15 for the first eight months of 2001. The remaining 17
16 percent of customers' 2001 energy needs were provided
17 with purchased power, of which 50 percent was purchased
18 for economical purposes to avoid running more costly
19 generation. As discussed in the direct testimony of
20 Tampa Electric's witness Mark J. Hornick, past and
21 present purchased power volumes have been impacted by
22 several key operational events.

23
24 Tampa Electric constantly assesses the wholesale energy
25 market and enters into long-term and short-term purchases

1 based on price and availability of supply. In addition to
2 Hardee and qualifying facility purchases, the company
3 purchased 155 MW of firm capacity for the winter of 2001
4 and 160 MW for the summer of 2001, which were made at or
5 below current forwards markets prices. Tampa Electric
6 also contracted to lease 39 completely self-contained
7 portable generators to supplement the company's supply
8 through the summer period. The generators supplied up to
9 70 MW of peaking power to retail customers.

10
11 Through August of this year, 53 percent of Tampa
12 Electric's total purchases were from the short-term
13 hourly to monthly market and 47 percent of total
14 purchases were from the long-term market. This
15 purchasing strategy provides a balanced and diversified
16 approach to serving Tampa Electric's customers. From
17 January through August 2001, Tampa Electric paid an
18 average of \$57.36/MWH for total energy purchases compared
19 to a forwards energy market price of \$86.31/MWH for the
20 same period, indexed to December 2000. Further, Tampa
21 Electric's total purchased power cost in 2001, including
22 capacity payments, is less than the forwards energy
23 market. Tampa Electric has also entered into non-firm
24 non-separated wholesale sales which have provided retail
25 customers \$1,356,404 in gains, which are flowed back to

1 customers through the Fuel and Purchased Power Cost
2 Recovery Clause from January through August 2001. The
3 company has not entered into any firm separated or non-
4 separated wholesale sales since 1998.

5
6 Q. For the period January 1998 to December 2000, were Tampa
7 Electric's decisions regarding its Hardee Power Partners
8 ("HPP") wholesale energy purchases and sales reasonable?

9
10 A. Yes. The HPP cost-based purchases have been very
11 beneficial to Tampa Electric's customers. For example,
12 Hardee generating station availability was 96 percent in
13 2000 and is over 97 percent through July 2001. This year,
14 HPP's energy price of \$53.99/MWH was below the \$76.37/MWH
15 forwards market price as of December 2000. Further, even
16 if capacity payments are included, Hardee is less costly
17 than the forwards market.

18
19 HPP provided Tampa Electric 295 MW of gas-fired capacity
20 this year under the long-term purchased power agreement
21 that has been in effect since January 1993. This
22 agreement was amended in May 2000 when 82 MW of gas-fired
23 combustion turbine capacity was added. This long-term
24 agreement was presented to this Commission and approved
25 in Docket No. 990001-EI proceedings.

1 Q. What are Tampa Electric's plans for 2002 regarding
2 capacity and energy purchases?

3
4 A. In addition to the HPP and qualifying facility purchases
5 that continue through 2002, Tampa Electric finalized two
6 short-term firm capacity and energy purchases which
7 provide 40 MW for the winter period and 50 MW for the
8 summer period. The company has also committed to
9 purchase 50 MW of distributed generation for the summer
10 period. Tampa Electric is currently in the process of
11 negotiating the purchase of additional capacity and
12 energy for calendar year 2002. Short-term capacity
13 purchases will augment existing long-term purchases and
14 native generation to insure a minimum 15 percent planning
15 reserve margin. A combination of forwards and spot
16 market energy purchases will also be made to cover Tampa
17 Electric's active spring and fall generation maintenance
18 periods and peak period needs.

19
20 Q. Please describe the efforts Tampa Electric makes to
21 ensure that its wholesale purchases and sales activities
22 are conducted in a reasonable and prudent manner.

23
24 A. Tampa Electric aggressively shops for wholesale capacity
25 and energy, searching for reliable supply at the best

1 possible price. These purchases are evaluated based on
2 forwards and spot markets. The company now engages in
3 wholesale power purchases and sales with over 30
4 counterparties. Each counterparty's creditworthiness is
5 carefully checked before engaging in an enabling
6 agreement. Tampa Electric also subscribes to market
7 publications and services that provide current commodity
8 prices and availability of supply information. Purchases
9 are made to achieve required installed reserve capacity,
10 to meet our customers' needs during planned and unplanned
11 generating unit outages and for economical purposes.

12
13 **Q.** Does Tampa Electric engage in physical or financial
14 hedging of its wholesale energy transactions?

15
16 **A.** Tampa Electric does not purchase or sell wholesale energy
17 derivatives, however, the company's power supply strategy
18 includes self-generation and long-term and short-term
19 capacity and energy purchases. As stated earlier,
20 approximately half of Tampa Electric's 2001 purchased
21 power has been from long-term contracts. This strategy
22 provides the company the opportunity to take advantage of
23 favorable spot market pricing while maintaining reliable
24 service to its customers.

25

1 Q. Should physical or financial hedging be used by Florida's
2 investor-owned electric utilities to mitigate wholesale
3 energy price volatility?
4

5 A. Physical and financial hedges provide measurable market
6 price volatility protection; however, they come with a
7 price. The price can be quite high in a developing
8 market such as Florida's wholesale energy market.
9

10 Q. As the Commission continues to examine hedging practices,
11 what considerations should it take into account?
12

13 A. Should the Commission decide to continue pursuing hedging
14 practices, an assessment of the quantitative and
15 qualitative costs and benefits of physical and/or
16 financial hedging should be considered. It should be
17 determined if the benefits of an appropriate hedging
18 strategy outweigh the costs. Providing that benefits
19 outweigh costs, only then should the Commission and the
20 utility commit to an approved hedging strategy, which may
21 be implemented and evaluated on a calendar year basis.
22 In addition, in advance of implementing each utility's
23 strategy, the Commission and utilities must determine the
24 reporting requirements and a methodology for assessing
25 the expected effectiveness of the strategy. Each

1 utility's strategy will be unique to its given current
2 wholesale activities.

3
4 Q. Please summarize your testimony.

5
6 A. Tampa Electric has utilized its best efforts to take
7 advantage of opportunities in the wholesale electric
8 power market and those efforts have benefited the
9 company's retail customers. The company constantly
10 monitors and assesses the wholesale energy market to take
11 advantage of buying and selling opportunities that offer
12 cost savings to its general body of retail customers. The
13 company's energy supply strategy includes self-generation
14 and long and short-term power purchases. The company has
15 engaged in both forwards and spot wholesale energy
16 markets to provide customers with reliable supply at the
17 lowest possible cost. The company has also made non-
18 firm, non-separated wholesale energy sales which have
19 benefited its customers. Tampa Electric believes that
20 the subject of hedging for wholesale energy transactions
21 should be carefully analyzed before being implemented to
22 ensure that it is appropriate to pursue on a utility
23 specific basis.

24
25 Q. Does that conclude your testimony?

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

A. Yes, it does.

1 THE WITNESS: Good afternoon, Commissioners. The
2 wholesale electric market has been very volatile in recent
3 years. The late 1990s were known for spot market price spikes,
4 especially during summer months which affected forwards markets
5 for the coming years. In addition, natural gas prices
6 increased from June of 2000 through January of 2001, which
7 impacted spot and forwards electricity markets. These market
8 movements have caused Tampa Electric to adopt a balanced
9 purchased power strategy. While 83 percent of Tampa Electric's
10 retail customers' 2001 capacity and energy needs have been
11 supplied from Tampa Electric generation, the remaining 17
12 percent was obtained from long and short-term wholesale
13 purchases.

14 This year seasonal firm capacity and energy purchases
15 helped Tampa Electric achieve a 15 percent minimum reserve.
16 Additionally, the company has taken advantage of favorable
17 pricing by purchasing economy energy when it is less costly
18 than running more expensive generating units. The long-term
19 purchase of capacity and energy from Hardee Power Station
20 continues to be beneficial to retail customers. Hardee's
21 Generating Station availability has been 97 percent this year.
22 Hardee provides cost-based intermediate and peaking power to
23 Tampa Electric's retail customers. Overall wholesale energy
24 purchases this year have been about evenly split between long
25 and short-term markets. Because of this balanced purchased

1 power strategy, Tampa Electric has taken advantage of favorable
2 spot market pricing while maintaining reliable service to its
3 customers.

4 For 2002, Tampa Electric has purchased firm capacity
5 and energy totalling 40 megawatts for the winter and 50
6 megawatts for the summer. The company also continues to
7 aggressively shop the long and short-term markets for the best
8 possible products at the lowest possible prices.

9 This concludes my summary.

10 MR. BEASLEY: We tender Mr. Brown for questions.

11 MR. VANDIVER: No questions.

12 MR. CLOUD: No questions.

13 CHAIRMAN JACOBS: Mr. McWhirter.

14 CROSS EXAMINATION

15 BY MR. McWHIRTER:

16 Q Mr. Brown, you said that 82 percent of your retail
17 requirements are met by your own generation?

18 A I believe I said 83 percent.

19 Q 83 percent. And for that part you pay \$392 million a
20 year, the remaining percentage is met by your wholesale sales.
21 And according to the exhibit that -- Exhibit 3, Schedule E1,
22 you pay \$143 million for your wholesale purchases. And
23 although they only represent 18 percent of your electricity
24 use, they represent nearly 30 percent of the cost of the
25 electricity passed along to retail customers, isn't that right?

1 A Mr. McWhirter, I am not familiar with the
2 E Schedules, and the numbers that you have quoted, I would have
3 to ask for help in verifying that those numbers are indeed
4 correct.

5 Q Well, would you accept it subject to check and then
6 tell us if that is --

7 A No, I can't accept that.

8 Q All right. Have you got a copy of Ms. Jordan's
9 testimony?

10 A No, I do not.

11 Q All right. Would you hand him a copy of Ms. Jordan's
12 testimony.

13 (Pause).

14 MR. BEASLEY: Mr. Chairman, I think Ms. Jordan is the
15 appropriate person to ask. And the same with Mr. Brown, he
16 didn't prepare that testimony.

17 MR. McWHIRTER: Well, that is --

18 CHAIRMAN JACOBS: I will allow him to at least review
19 the schedule and if he at that time maintains that he has no
20 knowledge, we will proceed from there.

21 MR. McWHIRTER: All I'm asking is that he give us the
22 percentage of costs. He has given us the percentage of sales,
23 but he hasn't given us the percentage of costs of the purchased
24 power sales. That seems like it would a rational thing to do.

25 BY MR. McWHIRTER:

1 Q Can you figure that out from Ms. Jordan's exhibit?

2 A Well, as I said before, I'm not altogether that
3 familiar with the E Schedules, but I will do the best I can.
4 Now, as you said before, you were referring to which line?

5 Q Look at Line 5, and that shows you the --

6 COMMISSIONER DEASON: Mr. McWhirter, can you direct
7 us to what you are looking at so we can find it.

8 MR. McWHIRTER: Yes. I'm looking at Page 24 of Ms.
9 Jordan's Exhibit 3. It is Schedule E1.

10 COMMISSIONER DEASON: Thank you.

11 BY MR. McWHIRTER:

12 Q Look at the cents per kilowatt hour. For your
13 generated power you paid \$23.12 a megawatt hour, is that
14 correct, according to her schedule?

15 A Yes, sir. That is Line 5.

16 Q And for the purchased power that -- on the purchases
17 you paid \$52.62 a megawatt hour.

18 A I don't see that number.

19 Q Look on Line 6, the last column.

20 A Okay. I see that. Line 6, 52.63.

21 Q Now, although 80 percent of the megawatt -- 83
22 percent of the megawatt hours went to retail customers, what
23 percent of the cost of those megawatt hours did the retail
24 customers pay?

25 A Well, I'm not sure you can really compare it, because

1 if I read this correctly, this is Schedule E1, which summarizes
2 fuel cost and does not have capacity cost included in it. The
3 capacity cost of Tampa Electric owned generation is pretty
4 significant. And by not including that in the cost of
5 generating power, I'm not sure it really is an apples-to-apples
6 comparison.

7 The cost of purchased power, the 52.63 that you
8 referred to, often includes capacity. In other words, when you
9 buy power on the wholesale market and pay for it on a per
10 megawatt hour basis, it includes a capacity component. And so
11 I just don't see you comparing apples-to-apples with these
12 figures. You would have to go back and include the cost, I
13 would think, of capacity of native generation.

14 Q With respect to your purchases from Hardee Power
15 Partners, you filed a late-filed exhibit to your deposition in
16 which you included both the capacity payment and the energy
17 payment, is that correct?

18 A Yes, I do.

19 Q And those combined purchases were \$74.17 a megawatt
20 hour?

21 A Yes. Approximately that, as I recall.

22 Q Now, when you sell to Hardee Power Partners, are
23 there any charges that flow back to the retail consumers from
24 those sales or are they restricted to the \$25.62 that you
25 receive from Hardee Power Partners?

1 A Well, the energy component of that sale includes fuel
2 which, I believe, is the charge that you just described. It
3 also includes an O&M piece, which is incremental O&M of making
4 that sale. And the two added together make up the energy
5 charge.

6 Q I see. And does the O&M money you receive go to the
7 retail consumers or does it go above-the-line to Tampa
8 Electric?

9 A I believe it is just simply passed back as an
10 operating expense, credited to the operating expenses of the
11 company.

12 Q But am I missing something, when it looks to me like
13 when you buy power from your affiliated company, you pay \$25.62
14 for it? I mean, you pay, \$74.17 for it, and when you sell to
15 your affiliated company, you sell it for \$25.56 plus the O&M
16 charge that Tampa Electric keeps?

17 A In the sell case you are looking at the energy
18 charge. In the purchase case, and in response to that
19 interrogatory in the purchased case I added the capacity and
20 the energy together to come up with that \$74 number. As I
21 recall, the energy piece was something less than that. It was
22 approximately \$52, approximately. Something in that
23 neighborhood.

24 Q That is correct. The energy piece is 53.99 and the
25 capacity payment is \$20.18. Does that refresh your

1 recollection?

2 A That is approximately right, yes.

3 Q But when you buy power from your affiliated company,
4 that's what you pay and pass along to your customers. When you
5 sell power to your affiliated company, Hardee Power Partners,
6 how much is credited to the retail customers' fuel costs, is it
7 the \$25.62?

8 A Yes, whatever the fuel actually costs.

9 Q Is there any additional money that the retail
10 customers receive?

11 A Not to my knowledge.

12 Q Ms. Jordan referred this to you. Have you done a
13 current analysis to determine that the retail customers are
14 still benefitting from the Hardee Power transaction?

15 A No, I have not.

16 Q Do you know of anyone in this case that has presented
17 that evidence?

18 A Not to my knowledge.

19 Q All right. Now, you were asked in your deposition to
20 furnish information with respect to your wholesale sales, and
21 the sale to TECO Power Services of Big Bend 4, that is the same
22 as Hardee Power Partners?

23 A Yes.

24 Q And that sale in this exhibit you show runs until
25 December 31st, 2002?

1 A Yes.

2 Q Now, when the Florida Reliability Coordinating
3 Council determined what Tampa Electric's reserve margins were,
4 it found that that contract lasted until the year 2013. Which
5 is it, 2002 it will expire, or 2013?

6 A The sale that we are referring to, which is the 145
7 megawatts --

8 Q Yes.

9 A -- expires in 2002, December 31st.

10 Q Are you presently negotiating to renew that contract?

11 A No. I think perhaps the other sale, or the other
12 date that you mentioned, 2013, that probably relates to the
13 Hardee Power Station sale to Seminole. That contract expires
14 the end of 2012.

15 Q I see. So the two numbers are not consistent?

16 A They are not the same. They are not -- the
17 expiration is different on those two transactions.

18 Q Well, in determining your reserve margin, does the
19 140 megawatts of Big Bend come back to Tampa Electric as a
20 generating asset in 2002, or does it come back in 2013?

21 A It actually comes back at the end of 2002, yes, sir.

22 Q All right. And would you explain, again, what the
23 2013 number is?

24 A The Hardee Power Station transaction between Tampa
25 Electric, Seminole, and Hardee Power Partners is a 20-year

1 agreement that began in January, on January 1 of 1993. It
2 extends for 20 years through, of course, 2012. That is the --
3 and that is the Hardee Power Station sale to Tampa Electric and
4 Seminole, which originally was 295 megawatts of intermediate
5 and peaking capacity, and since has been modified. In fact,
6 two years ago we modified that agreement with two amendments to
7 add another CT of 82 megawatts. That is the agreement, that is
8 the sale that I am referring to that goes through 2012.

9 Q That goes to Seminole and not to Tampa Electric?

10 A It goes to both entities.

11 Q On the Seminole Schedule D sale that was entered into
12 in 1991, that runs until 2002, but then you have got a footnote
13 that says that contract termination can be as early as June 1,
14 2002 with three years written notice. To date written notice
15 has not been received. So does that mean that that Schedule D
16 sale is what I would call a -- what do you call that, evergreen
17 contract unless there is a three-year notice?

18 A That is correct.

19 Q Do you have any right to terminate that contract?

20 A Not to my knowledge.

21 Q And under that contract, is that a separated sale or
22 a nonseparated sale?

23 A That sale is nonseparated.

24 Q And that sale, Seminole has the right to your power,
25 but the retail customers pay for the capacity?

1 A Well, let me make sure we are on the same page here.
2 The Seminole D sale, the sale you're describing that terminates
3 once three-year notice has been given, is the sale that Witness
4 Jordan referred to earlier. It is a sale to Seminole, who in
5 turn resells the capacity and energy to Peace River Electric
6 Cooperative, who in turn serves interruptible customers, retail
7 customers of Tampa Electric's who are located in Peace River's
8 territory.

9 Another piece of that sale is the sale from Tampa
10 Electric to Seminole. Seminole then serves Peace River
11 Electric Co-op, who serves the station's service of Hardee
12 Power Station. In other words, serves the power that is needed
13 by the station to function. So those are the customers, the
14 two customers, if you will, of that Seminole D sale. They are
15 retail customers. They are both nonfirm customers. And it is
16 a nonseparated sale.

17 Q And with respect to the sale to the Hardee Station
18 from Tampa Electric Company, how is that sale priced?

19 A It is priced based on the interruptible service
20 tariff. I believe it is the IS-1 rate.

21 Q So when you sell it to your affiliated company, you
22 sell it at an interruptible price?

23 A Because it is interruptible service.

24 Q I see. And so that is just like a retail sale, then?

25 A Yes, that is wheeled through Seminole.

1 Q And the money from that, then would flow -- because
2 it is a Schedule E sale, that money would flow through the fuel
3 clause to the benefit of the retail customers, wouldn't it?

4 A Yes, because it is a nonseparated sale.

5 Q And my recollection is that the current charge to
6 interruptible customers is substantially more than \$14 a
7 megawatt hour, and that is what Ms. Jordan's schedule showed
8 the revenue to be. Can you explain where the rest of that
9 money goes?

10 A Well, I do know that the Hardee Station service is
11 normally taken at night whenever the power station is not
12 operating, that is when the station's service is taken.
13 Whenever the power station is operating, then they supply their
14 own. So it's only a night take or an off-peak take, and I
15 suspect that is probably the reason.

16 Q Is that served on the IS-1 time-of-day schedule or
17 some kind of realtime pricing schedule?

18 A I'm not sure.

19 Q I see. And when you buy premium power that you pass
20 along to the retail IS-1 customers, does that retail -- that
21 premium power pass along to the Hardee Power Station under the
22 contract?

23 A Are you referring to optional provision?

24 Q Yes.

25 A Okay. I'm going to make an assumption that it does.

1 I don't know for sure. That would be an appropriate question
2 for Ms. Jordan. But since they are an interruptible service
3 retail customer, I would assume that they would pay their fair
4 share.

5 Q So it's a wholesale customer that is priced on a
6 retail rate?

7 A That is correct.

8 Q Now, with respect to these wholesale sales, are the
9 prices in those contracts set by this Commission, or by some
10 other regulatory body, or no regulatory body?

11 A Well, the sale to Hardee Power Station is a -- since
12 they are a retail customer --

13 Q We're talking about the Schedule D now, not the --

14 A The Schedule D, yes. Is that what we are talking
15 about?

16 Q I am referring in general to your wholesale sales.
17 Who sets the price or regulates that price?

18 A The long-term wholesale sales that we have in
19 place -- and most, by the way, of the wholesale sales that we
20 have in place, if not all, have been in place for many, many
21 years. We have not entered into any new long-term wholesale
22 sales in the past several years. So all of our sales are
23 cost-based, not market-based. They are cost-based wholesale
24 sales. Because at the time all we had was cost-based rate
25 authority from the FERC.

1 Now, since 1999, I believe it is, we have obtained
2 market-based rate pricing authority. However, since we have
3 obtained that authority we have not engaged in any long-term or
4 any firm wholesale sales.

5 Q When you say cost-based, is that cost as defined by
6 FERC or cost as defined by your last rate case in this
7 proceeding?

8 A Cost as defined by FERC.

9 Q Is that exactly the same as cost determined by this
10 Commission?

11 A That is a question I'm not sure I know the answer to.
12 The last rate case or justification, if you will, that we
13 provided FERC was for our requirements tariff, and that was
14 back in the early '90s. And if we had had a state rate case at
15 the same exact time, then I would say that those numbers would
16 be the same, however, I don't believe we did.

17 Q On your sales to Fort Meade, St. Cloud, and Wauchula,
18 they were entered into in 1993 and then renewed in 1997
19 according to your late-filed exhibit to your deposition?

20 A Which exhibit are you referring to?

21 Q I am referring to Page 2 of 4. Well, I guess it is
22 in response to staff's second set of interrogatories Number 4
23 to you. Let me give you this and see if it refreshes your
24 recollection.

25 A The contracts with Fort Meade, St. Cloud, and

1 Wauchula were entered into in 1993. The sale did not actually
2 begin until 1997.

3 Q Were you building something in order to accommodate
4 those sales at the time?

5 A Not to my knowledge.

6 Q Did you have a prior contract with those entities
7 that provided power that this '93 contract superseded?

8 A Yes, we did.

9 Q You did?

10 A Yes. By the way, the total megawatts of all three of
11 those added together was less than 50 megawatts. It was
12 approximately 40 megawatts.

13 Q And you charged those people system average fuel
14 cost?

15 A Yes.

16 Q And do you charge them any capacity costs?

17 A Yes.

18 Q You do?

19 A Yes, we do.

20 Q And that capacity cost goes to Tampa Electric Company
21 and not to its customers?

22 A How that is actually handled, I'm not totally sure,
23 but my understanding is these three customers, these three
24 contracts are treated in the same way as retail customers are.
25 So however the capacity revenues are treated there would -- my

1 understanding is it is the same treatment. They are under our
2 AR-1 tariff.

3 Q I see. When you say they were entered into in '93,
4 they were maybe part of that '93 rate order and were separated
5 out in '93, is that what the deal is?

6 A I don't think that that was part of the rate order.
7 I believe these were individual customers who we entered into
8 an all requirements or a partial requirements contract or
9 service with to provide their needs.

10 Q And the price for that was set by -- that wholesale
11 sale was set by this Commission or by FERC?

12 A By FERC.

13 Q And it would be different than the price set by this
14 Commission unless the two rate cases were contemporaneous?

15 A Yes, they were cost-based. In other words, the
16 capacity component is the same as the retail customers'
17 capacity component. The fuel component is as you said, system
18 average fuel, which is the same as the retail customers' fuel
19 component. And these sales also in their fuel component
20 include all purchased power, their applicable share of
21 purchased power.

22 Q How about your Reedy Creek Improvement District sale,
23 that runs until 2017?

24 A Yes.

25 Q Is that a unit specific contract or is it just from

1 your general units?

2 A That sale is very similar to the three previous that
3 we described. It is a system sale.

4 Q And how many megawatts are involved in that sale?

5 A Up to 75.

6 Q 75. And if your retail customers need the capacity,
7 they cannot, you cannot interrupt Reedy Creek in order to give
8 them that capacity?

9 A No.

10 Q Was any analysis done to your knowledge by this
11 Commission in 1995 concerning the benefits that retail
12 customers would receive from that sale?

13 A Not to my knowledge, although I was not in this part
14 of the company in 1995, so it may have happened, I don't know.

15 CHAIRMAN JACOBS: Mr. McWhirter, is it time to break
16 Is this a good point?

17 MR. McWHIRTER: I am about to wind up, Mr. Chairman.

18 CHAIRMAN JACOBS: Okay.

19 MR. McWHIRTER: Well, I will tender the witness and
20 let you --

21 CHAIRMAN JACOBS: No, no, I don't want to make you
22 finish prematurely, by all means. But if you are done, we will
23 take a break for ten minutes and come back.

24 MR. McWHIRTER: This is a good breaking point. I
25 will tender the witness.

1 CHAIRMAN JACOBS: We will be back in ten minutes.

2 (Recess.)

3 CHAIRMAN JACOBS: We will go back on the record. Mr.
4 McWhirter, you were completed? Staff.

5 MR. KEATING: Staff is going to hand out a composite
6 exhibit that consists of various items. There are some
7 deposition transcripts and discovery related to TECO's
8 witnesses. As they hand this out, there is a few items -- the
9 cover sheet lists the items included in the composite exhibit
10 and there is a few items on that list that I'm going to delete,
11 that we will not ask to have included as part of the exhibit.
12 But since the copies were made already, they are in the packet.
13 Staff is also handing out --

14 CHAIRMAN JACOBS: Should we mark this?

15 MR. KEATING: If you can mark the composite exhibit,
16 I guess the next available number is 4.

17 CHAIRMAN JACOBS: Correct.

18 MR. KEATING: The staff has also handed out a
19 confidential exhibit in the red folder, and that contains the
20 confidential responses to Interrogatories 5 and 6 and 149 and
21 150. The redacted responses are included in what has been
22 identified as Exhibit 4. If we could have that confidential
23 exhibit marked as Exhibit 5.

24 (Exhibit 4 and Confidential Exhibit 5 marked for
25 identification.)

CROSS EXAMINATION

1
2 BY MR. KEATING:

3 Q Good afternoon, Mr. Brown. I just have a few
4 questions for you. When was the last time that TECO entered
5 into a long-term separated sale?

6 A It was back in, I believe, 1996.

7 Q Was that the sale with the Reedy Creek Improvement
8 District?

9 A No, that was the sale to FMPA that I'm thinking of.

10 Q To FMPA?

11 A Yes.

12 Q Has TECO entered into any other long-term separated
13 sales since that time?

14 A Not to my knowledge. The Reedy Creek sale, I think,
15 as was referred to earlier, started in '97. Excuse me, the
16 sale actually began in '98, but the sale was entered into back
17 in 1995. So the entered into date was really the date that I
18 was referring to.

19 Q At the time that TECO entered into each of its
20 current long-term separated sales commitments, those are the
21 separated sales that it is currently serving, were TECO's
22 planning reserve margins over 15 percent?

23 A Yes, they were.

24 Q Are all of TECO's current long-term sales agreements
25 cost-based?

1 A Yes, they are, all of them.

2 Q According to your response to the staff interrogatory
3 which is Interrogatory Number 4, I don't believe you need to
4 turn to that specifically, but if you could just confirm that
5 the only long-term sales agreement that can be recalled to
6 serve firm retail load is the Schedule D sale with Seminole, is
7 that correct?

8 A Of the current sales that we have going?

9 Q Yes.

10 A Yes.

11 Q Has this sale been recalled to serve firm load?

12 A Yes.

13 Q When was the last time that TECO agreed to any type
14 of firm sale transaction?

15 A We agreed to a nonseparated firm sale for a short
16 period of time in 1998. That was the last time, and the sale
17 was less than one year.

18 Q You say that was a nonseparated sale?

19 A Yes, it was.

20 Q At the time that TECO entered into that sale, did it
21 expect to have at least 15 percent reserve margin for the
22 duration of the sale?

23 A Yes.

24 Q Is TECO currently negotiating any new firm long-term
25 or nonseparated sales agreements?

1 A Yes, we are.

2 Q When are those planned to begin?

3 A Those sales that we are discussing relate to the
4 addition of Bayside, the Bayside plant to our fleet, and those
5 discussions began earlier this year.

6 Q So those sales would not begin until after completion
7 of the Bayside units?

8 A That is correct.

9 Q And do you know when the Bayside units are expected
10 to be ready for service?

11 A Yes, June of '03.

12 Q Let me ask you about the TECO contract with Hardee
13 Power Partners. In your testimony you state that Hardee's
14 energy price compares favorably to the December 2000 forwards
15 market price, is that correct?

16 A Yes.

17 Q Could you explain how you made that comparison?

18 A I looked at the energy costs that we have paid Hardee
19 Power Partners for the period January through July of this
20 year, and I compared it to the forwards market for the Entergy
21 hub, which was published in December of 2000 for the period
22 January through July of 2001. I compared the two and found
23 that the energy costs that we had paid Hardee, that is the all
24 in energy cost, was less.

25 Q Is the Hardee price lower than the forwards price,

1 even including capacity costs?

2 A Yes.

3 Q Is it your understanding that the forwards market
4 price only goes out for 12 months?

5 A That is true, that is the published market. It is an
6 energy market.

7 Q Did TECO compare the Hardee contract to the forwards
8 market price at the time that it was signed?

9 A At the time it was signed there was no forwards
10 published market.

11 Q At the time that the most recent amendment to the
12 Hardee contract was signed, did TECO compare the contract to
13 the forwards market price?

14 A No, we did not.

15 Q Do you believe that relying on the short-term market
16 rather than TECO owning its own capacity exposes customers to
17 risk due to the price volatility of the wholesale market?

18 A If you take a conservative approach and serve 100
19 percent of your load out of native generation, then the cost
20 may actually be more than purchasing some energy on the
21 short-term market. It depends on the market, really. We do
22 take advantage of the short-term market, particularly for
23 economy purchases in lieu of running our own generation. We
24 purchase for cheaper prices on the short-term market.

25 Q Would you agree that the short-term market is going

1 to be more volatile?

2 A Oh, yes, absolutely.

3 Q Staff's Interrogatory Number 5 that is included in
4 the packet discusses circumstances surrounding interruptions of
5 nonfirm retail customers during the period 1998 to 2001. And
6 if you need to look at that interrogatory, let me know, but the
7 question is was TECO making any recallable sales during these
8 interruptions?

9 A Could you speak up, I'm having trouble hearing you.

10 Q Yes. Was TECO making any recallable sales during the
11 interruptions that are listed in its response to Interrogatory
12 Number 5?

13 A No.

14 Q And, Mr. Brown, did you prepare Tampa Electric's
15 responses to staff's Interrogatories 2, 3, 4, 5, 6, and 8 as
16 they are listed in the exhibit?

17 A Yes. I was either responsible for them or I worked
18 with others in preparing them, yes.

19 Q And would you agree that those responses are still
20 accurate at this point in time?

21 A Yes.

22 Q And with respect to Interrogatory Numbers 149, 150,
23 155, 156, and 157, which are included in the staff exhibit, did
24 you prepare the responses to those interrogatories?

25 A Yes. I either prepared them or I worked with others

1 to prepare them, yes.

2 Q And can you confirm that those responses are still
3 accurate?

4 A Yes.

5 MR. KEATING: Staff has no other questions.

6 CHAIRMAN JACOBS: Commissioners.

7 COMMISSIONER DEASON: Well, I had my question that
8 was handed off to you, and I think you have answered it earlier
9 in that the contract expires at the end of 2002 for the Hardee
10 Power Partners.

11 THE WITNESS: That is correct. The 145-megawatt Big
12 Bend 4 sale?

13 COMMISSIONER DEASON: Yes.

14 THE WITNESS: Yes, it does.

15 COMMISSIONER DEASON: Okay. When that contract
16 expires, assuming there is no renewal of that contract, what
17 happens to that capacity?

18 THE WITNESS: It would go back into rate base, I
19 assume.

20 COMMISSIONER DEASON: So it would no longer be
21 separated, it would become part of retail rate base?

22 THE WITNESS: That is correct.

23 COMMISSIONER DEASON: Do you know what the company's
24 plans are -- I don't want you to divulge any confidential
25 information, but do you know what the company's plans are in

1 relation to that capacity?

2 THE WITNESS: At this point I believe our plans are
3 for it to come back into rate base.

4 COMMISSIONER DEASON: All right. Thank you.

5 CHAIRMAN JACOBS: Any other questions, Commissioners?

6 Just one moment, I think I have a question on the
7 interrogatory. Do you have the response to Interrogatories 5
8 and 6 in front of you, Mr. Brown?

9 THE WITNESS: Yes.

10 CHAIRMAN JACOBS: I want to make sure I understand.
11 Without divulging any of the confidential information, just
12 make sure I understand this. The tables in 5, those are, in
13 essence, contracts under which you purchase or sell?

14 THE WITNESS: These tables are contracts that we
15 sell. The identification of the purchasing party --

16 CHAIRMAN JACOBS: Is at the top?

17 THE WITNESS: Is at the top, yes, sir.

18 CHAIRMAN JACOBS: Okay. And then I understand it
19 better. Okay. That's all of my questions.

20 Redirect, Mr. Beasley.

21 MR. BEASLEY: No redirect.

22 CHAIRMAN JACOBS: Exhibits.

23 MR. BEASLEY: No exhibits to move.

24 CHAIRMAN JACOBS: That's right. It was staff, your
25 exhibits.

1 MR. KEATING: Staff would move 4 and 5.

2 MS. KAUFMAN: Chairman Jacobs, I had a question, and
3 then I might have an objection to part of staff's exhibit. And
4 my question is Exhibit Number 5 is intended to be the
5 confidential sections of what is redacted from Exhibit Number
6 4, is that correct? I just wanted to be clear.

7 CHAIRMAN JACOBS: Actually, yes, yes. I assume there
8 was some part of -- Exhibit 4 is more than just 5, but there
9 was some part of --

10 MR. KEATING: That is correct. Exhibit 5 contains
11 the confidential information included as part of -- that was
12 part of the response to Interrogatories 5 and 6 and 149 and
13 150.

14 MS. KAUFMAN: Thank you for that clarification.
15 FIPUG would object, however, to the depositions of Mr. Brown,
16 Ms. Jordon, and Mr. Hornick coming into the record, as well as
17 the prepared direct and rebuttal testimony of Mr. Brown from a
18 prior proceeding. As to the depositions, I believe these
19 witnesses were here, they were available for cross-examination.
20 And as to Mr. Brown's testimony from -- I guess we are talking
21 three years ago, I think it is inappropriate to put prefiled
22 direct testimony into the record. If that was important
23 testimony, Mr. Brown should have sponsored it and stood for
24 cross-examination in regard to it.

25 MR. KEATING: If I could address each one of those.

1 And I apologize, I may have gone through those too quickly when
2 we handed out the exhibit. Staff does not wish to include --
3 if we look at the cover sheet on the exhibit, the third
4 numbered item, which is the prepared direct and rebuttal
5 testimony of W. Lynn Brown. It had already been copied and
6 made a part of this packet. We have gone back and asked that
7 that not be included as part of what is moved in.

8 MS. KAUFMAN: I'm sorry, Mr. Keating, I didn't
9 realize that.

10 MR. KEATING: And we also would strike 6 and 7.

11 CHAIRMAN JACOBS: So we are striking what you list as
12 Item 3 here, striking 6 and 7?

13 MR. KEATING: Correct. And with respect to Mr.
14 Hornick's deposition, we have offered that, or we ask that that
15 be moved into the record solely for support on stipulated
16 Issues 24A and 24B which relate to TECO's generating
17 performance incentive factor. Mr. Hornick was excused, and
18 that was -- we don't have him here to answer those questions at
19 this time.

20 MS. KAUFMAN: Mr. Keating or Chairman, I haven't had
21 an opportunity to read Mr. Hornick's deposition. Are you
22 saying that his deposition relates only to GPIF, it doesn't
23 address any other issues that he was responsible for?

24 MR. KEATING: I believe it primarily relates to GPIF.
25 We are offering it solely in relation to the GPIF issues.

1 CHAIRMAN JACOBS: I am going to allow you to review
2 that transcript and leave your objection pending.

3 MS. KAUFMAN: That would be fine. And I think we
4 also object to Mr. Brown's deposition, as well.

5 MR. KEATING: And staff has offered this solely for
6 the purposes of trying to streamline the hearing and not go
7 through the line of questioning again that we did with Mr.
8 Brown in deposition. I believe the transcript includes the
9 parties' cross-examination and redirect at that deposition.

10 CHAIRMAN JACOBS: Is it the deposition in total or a
11 particular portion?

12 MS. KAUFMAN: Well, Mr. Chairman, I object to use of
13 the deposition, yes, in total. Mr. Brown was here, all the
14 parties have the opportunity to cross-examine him in regard to
15 his prefiled testimony to the extent that they wish to, so I
16 think it is an inappropriate use of his deposition.

17 CHAIRMAN JACOBS: Okay. Traditionally we have given
18 liberal construction to the deposition rule in many instances
19 particularly with regard to staff. It is a balancing test in
20 my mind. I am not persuaded that there is any particular harm
21 done in this instance by allowing the deposition transcript in,
22 and so I will deny the objection. So then show the exhibit
23 marked as Exhibit 5 will include the transcript, deposition
24 transcript of Mr. Brown dated October 25th, 2001, late-filed
25 exhibits to that deposition, TECO's responses to staff's second

1 set of interrogatories, TECO's responses to staff's fourth set
2 of interrogatories, and the transcript of Mr. Hornick's
3 deposition subject to review by Ms. Kaufman. Any questions?
4 Very well. And noting that objection, Exhibits 4 and 5 are
5 admitted. Thank you.

6 (Exhibits 4 and 5 admitted into the record.)

7 MR. KEATING: And we will come around and pick up the
8 confidential folders.

9 (The transcript continues in sequence with Volume 2.)

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)

: CERTIFICATE OF REPORTER

COUNTY OF LEON)

I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter Services, FPSC Division of Commission Clerk and Administrative Services, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 3RD DAY OF DECEMBER, 2001.

JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732