


BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

In Re: Request for rate increase ) DOCKET NO. 010949-EI  
by Gulf Power Company. )  
\_\_\_\_\_ )

VOLUME NUMBER 9

Pages 901 through 1042



IN RE: HEARING

BEFORE: CHAIRMAN LILA A. JABER  
COMMISSIONER J. TERRY DEASON  
COMMISSIONER BRAULIO L. BAEZ  
COMMISSIONER MICHAEL A. PALECKI  
COMMISSIONER RUDOLPH "RUDY" BRADLEY

DATE: TUESDAY, FEBRUARY 26, 2002

TIME: COMMENCED AT 9:00 A.M.

PLACE: FPSC  
4075 ESPLANADE WAY  
ROOM 148  
TALLAHASSEE, FLORIDA

REPORTED BY: NANCY S. METZKE, RPR, CCR

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER 02299

02299 FEB 27 2002

FPSC-COMMISSIONER CLERK

## I N D E X

1	2	3	4	5	6	7	8	9	10	11	12	13	14	15	16	17	18	19	20	21	22	23	24	25
	NAME																							
	Edward D. Bass																							
	Examination by Ms. Stern					. . . . .																		
	Prefiled Direct Testimony					. . . . .																		
	Examination by Mr. Burgess					. . . . .																		
	Examination by Mr. Stone					. . . . .																		
	Examination by Ms. Stern					. . . . .																		
	Donald S. Roff																							
	Prefiled Rebuttal Testimony					. . . . .																		
	Robert A. Bell																							
	Prefiled Rebuttal Testimony					. . . . .																		
	Tony A. Silva & Scott C. Twery																							
	Prefiled Rebuttal Testimony					. . . . .																		
	Richard J. McMillan																							
	Examination by Mr. Badders					. . . . .																		
	Prefiled Rebuttal Testimony					. . . . .																		
	Examination by Mr. Burgess					. . . . .																		
	R. M. Saxon																							
	Examination by Mr. Badders					. . . . .																		
	Prefiled Rebuttal Testimony					. . . . .																		
	Examination by Mr. Burgess					. . . . .																		
	Examination by Mr. Harris					. . . . .																		
	Robert G. Moore																							
	Examination by Mr. Melson					. . . . .																		
	Prefiled Rebuttal Testimony					. . . . .																		
	J. Thomas Kilgore, Jr.																							
	Prefiled Rebuttal Testimony					. . . . .																		
	Francis M. Fisher, Jr.																							
	Examination by Mr. Stone					. . . . .																		
	Prefiled Rebuttal Testimony					. . . . .																		
	Examination by Mr. Burgess					. . . . .																		
	Examination by Mr. Harris					. . . . .																		

## EXHIBITS - VOLUME VI

	NUMBER		ID.	ADMTD.
1				
2				
3				
4	#47	EDB-1	. . . . .	912 930
5	#48	DSR-1	. . . . .	939 939
6	#49	RMS-2	. . . . .	971 977
7	#50	RGM-2	. . . . .	998 1001
8	#51	JTK-1	. . . . .	1007 1007
9	#52	FMF-2	. . . . .	1026
10				
11				
12				
13				
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

P R O C E E D I N G S

1  
2  
3 CHAIRMAN JABER: Let's get back on the record.

4 Staff, Edward Bass, is your next witness?

5 EDWARD D. BASS, II

6 was called as a witness on behalf of the FPSC Staff and,  
7 having been duly sworn, testified as follows:

8 EXAMINATION

9 BY MS. STERN:

10 Q Good morning, Mr. Bass. You've been sworn in,  
11 correct?

12 A Correct.

13 Q Would you please state your name and business  
14 address for the record?

15 A Edward D. Bass, II. My business address is 2540  
16 Shumard Oak Boulevard, Tallahassee, Florida.

17 Q In what capacity are you employed by the Public  
18 Service Commission?

19 A I'm employed with the Florida Public Service  
20 Commission as a regulatory analyst in the Division of  
21 Auditing and Safety.

22 Q Have you provided prefiled direct testimony in this  
23 docket?

24 A Yes, I have.

25 Q Do you have any changes or corrections to make to

1 your testimony?

2 A No, I do not.

3 Q If I were to ask you today the same questions that  
4 appear in your testimony, would the answers today be the  
5 same?

6 A Yes.

7 MS. STERN: May we please have the testimony of  
8 Edward Bass inserted into the record as though read?

9 CHAIRMAN JABER: The prefiled direct testimony of  
10 Edward D. Bass, II shall be inserted into the record as  
11 though read.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## DIRECT TESTIMONY OF EDWARD D. BASS II

1 |  
2 | Q. Please state your name and business address.

3 | A. My name is Edward D. Bass II and my business address is 2540 Shumard Oak  
4 | Blvd., Tallahassee, Florida 32399-0850.

5 | Q. By whom are you presently employed and in what capacity?

6 | A. I am employed by the Florida Public Service Commission as a Regulatory  
7 | Analyst III in the Division of Auditing and Safety.

8 | Q. How long have you been employed by the Commission?

9 | A. I have been employed by the Florida Public Service Commission since  
10 | July, 1997.

11 | Q. Briefly review your educational and professional background.

12 | A. In 1995, I received a Degree in Accounting from the University of  
13 | Florida. I worked for the Department of Management Services as an Accountant  
14 | I and II for thirteen months before joining the Commission staff as a  
15 | Professional Accountant. I was promoted to my current position in June, 2001.  
16 | I am also a Certified Public Accountant licensed in the State of Florida.

17 | Q. Please describe your current responsibilities.

18 | A. Currently, I am a Regulatory Analyst III with the responsibilities of  
19 | planning and directing audits of regulated companies, and assisting in audits  
20 | of affiliated transactions. I also am responsible for creating audit work  
21 | programs to meet a specific audit purpose.

22 | Q. What is the purpose of your testimony today?

23 | A. The purpose of my testimony is to sponsor the staff audit report of Gulf  
24 | Power Company, Docket No. 010949-EI. The audit report is filed with my  
25 | testimony and is identified as EDB-1.

1 Q. Was this audit report prepared by you or under your direction?

2 A. Yes, I was the audit manager in charge of this audit.

3 Q. Please review the work you and the audit staff performed in this audit.

4 A. We compiled supporting documentation for rate base components for the  
5 year ended December 31, 2000, performed a judgmental sample of plant in  
6 service additions, compiled accumulated depreciation and traced depreciation  
7 rates to Commission orders, and scanned projected plant in service for the 12-  
8 month period ended May 31, 2003. We also toured the construction site of  
9 Plant Smith Unit 3 - Combined Cycle, performed a judgmental sample of  
10 transactions related to the construction of Plant Smith Unit 3 - Combined  
11 Cycle, toured two sites included in plant held for future use, scanned the  
12 utility's continuing property records, verified adjustments to rate base in  
13 accordance with Commission Order No. 23573, issued October 3, 1990, and  
14 compiled working capital accounts.

15 We also compiled supporting documentation for net operating income  
16 components for the year ended December 31, 2000, performed a judgmental sample  
17 of operation and maintenance (O&M) expenses and examined the invoices and  
18 other supporting documentation, and compiled advertising expenses included in  
19 the year ended December 31, 2000. We also recalculated depreciation expense,  
20 compiled support for taxes other than income and income taxes, and verified  
21 adjustments to net operating income in accordance with Commission Order No.  
22 23573, issued October 3, 1990.

23 We also compiled supporting documentation for capital structure  
24 components for the year ended December 31, 2000, traced principal amounts and  
25 interest rates to supporting debt instruments, verified costs rates used in

1 | the computation of the cost of capital, and scanned the reconciliation of  
2 | capital structure with rate base.

3 |       Other miscellaneous procedures we performed include scanning the  
4 | utility's board of directors' minutes for the 12-month period ended December  
5 | 31, 1998 through the second quarter of 2001, scanning the utility's outside  
6 | auditor's working papers for the 12-month period ended December 31, 2000, and  
7 | obtaining a description of the utility's O&M expense budget process.

8 | Q.     Please review the audit exceptions in the audit report.

9 | A.     Audit Exceptions disclose substantial non-compliance with the National  
10 | Association of Regulatory Utility Commissioners (NARUC) Uniform System of  
11 | Accounts (USOA), a Commission rule or order, and formal company policy. Audit  
12 | Exceptions also disclose company exhibits that do not represent company books  
13 | and records and company failure to provide underlying records or documentation  
14 | to support the general ledger or exhibits.

15 |       Audit Exception No. 1 discusses Advertising Expenses. The utility's  
16 | Minimum Filing Requirements (MFRs), Schedule C-26 and general ledger include  
17 | four advertising accounts: 930.100 - General Advertising - Salaries, 930.110 -  
18 | General/Institutional - Production, 930.120 - General/Institutional - Media,  
19 | and 930.180 - Industry Sponsored Advertising. These four accounts total  
20 | \$226,000 for the historical year and \$550,000 for the test year. The  
21 | utility's MFR Schedule C-3 reflects an adjustment in the amount of \$223,000  
22 | ( $\$226,000 \times .9822560$  jurisdictional factor) to remove all of the expenses in  
23 | each of these accounts related to image enhancement advertising for the  
24 | historical year ended December 31, 2000. However, the utility did not make  
25 | an adjustment to remove these image enhancement advertising expenses from the

1 | test year.

2 |       Commission Order No. 6465, issued January 17, 1975, in Docket No. 9046-  
3 | EU, a general investigation of promotional practices of electric utilities,  
4 | states that advertising which has as its primary objective the enhancement of  
5 | or preservation of the corporate image of the utility shall be disallowed for  
6 | rate making purposes.

7 |       I have reviewed these image enhancement advertising expenses for the  
8 | historical year ended December 31, 2000. In accordance with Commission Order  
9 | No. 6465, the utility should make an adjustment to remove the projected image  
10 | enhancement advertising expenses in the amount of \$539,000 (\$550,000 x  
11 | .9803411 jurisdictional factor) from the test year ended May 31, 2003. The  
12 | utility should also review its expenses for the projected test year ending May  
13 | 31, 2003 to assure that any amounts related to this exception are also  
14 | removed.

15 |       Audit Exception No. 2 discusses Lobbying Expenses and Donations. The  
16 | utility's operation and maintenance (O&M) expenses for the historical year  
17 | ended December 31, 2000 include \$7,000 recorded in account 930.200 - Industry  
18 | Association Dues, \$500 recorded in account 500.000 - Operation Supervision and  
19 | Engineering Expenses, and \$600 recorded in account 500.000 - Operation  
20 | Supervision and Engineering Expenses.

21 |       The \$7,000 was for the utility's membership dues for Associated  
22 | Industries of Florida, of which 100 percent is related to lobbying activities.  
23 | The \$500 was a charitable contribution to St. Andrew Bay Center. The \$600 was  
24 | paid for a golf tournament donation.

25 |       The Uniform System of Accounts, 18 CFR 101 includes Account 426.1 -

1 | Donations, which includes all payments or donations for charitable, social,  
2 | or community welfare purposes; and Account 426.4 - Expenditures for certain  
3 | civic, political and related activities, which includes expenditures for the  
4 | purpose of influencing public opinion with respect to the election or  
5 | appointment of public officials, referenda, legislation, or ordinances.

6 |         In accordance with the Uniform System of Accounts, 18 CFR 101, the  
7 | utility should make an adjustment to properly classify these O&M expenses for  
8 | the historical year ended December 31, 2000. The utility's MFRs reflect  
9 | \$7,000 in membership dues for Associated Industries of Florida for the  
10 | projected test year ended May 31, 2003. The utility should make an adjustment  
11 | to properly classify this expense for the projected test year ended May 31,  
12 | 2003. The utility should also review its O&M expenses for the projected test  
13 | year ended May 31, 2003, to assure expenses are properly classified in  
14 | accordance with the Uniform System of Accounts. Proper classification of  
15 | these expenses will remove them from the determination of revenue requirement.

16 | Q. Please review the audit disclosures in the audit report.

17 | A. Audit Disclosure No. 1 discusses the Caryville - Plant Held for Future  
18 | Use. The utility's Minimum Filing Requirements (MFRs), Schedule B-3 reflects  
19 | \$3,164,000 in total plant held for future use, for the projected test year  
20 | ended May 31, 2003. One of the properties include in this plant held for  
21 | future use is the Caryville electric generating plant site with a book value  
22 | of \$1,356,000. The audit staff toured the Caryville plant site and observed  
23 | the following. The Caryville electric generating plant site is located in  
24 | Washington and Holmes Counties. It is an irregular plot covering over 2,000  
25 | acres. The site consists of mostly wooded land, with a small part bordering

1 on the Choctawhatchee River. The land is fenced and posted. The utility has  
2 described the land as used to plant, cultivate, and harvest timber and  
3 pulpwood. The land is classified as agricultural for property tax purposes.

4 The utility acquired the site in 1963 and has not built a plant on it.  
5 However, the utility has made several capacity additions to other sites since  
6 then, which include the acquisition of fifty percent of Plant Daniel, upgrades  
7 to Plant Crist and Plant Smith, and the acquisition of land in 1998 for the  
8 Mossy Head generating plant site. The utility's 46KV line cuts through and  
9 divides the northern sector in Holmes County and a county maintained road cuts  
10 through and divides the southern sector in Washington County. The land is not  
11 currently being used for utility purposes except for a small plot in the  
12 southeast sector which houses an antenna for the Southern Company  
13 radio/telephone network and the 46KV line.

14 There is evidence that small portions of the land have been farmed at  
15 one time. During the last rate case, a large portion of the land was used as  
16 a sod farm. The sod farm operation has ceased and the land is back in timber  
17 and pulpwood production as evidenced by large areas of planted pine trees.

18 The utility entered into an agreement on November 9, 2000, with the  
19 Brunson Landing Hunt Club to allow the club to hunt on the Caryville and Mossy  
20 Head properties. The hunt club provides liability insurance to cover its  
21 activities. The agreement includes an initial term of five years beginning  
22 September 1, 2000 and terminating on August 5, 2005, and is renewable. The  
23 hunt club is not obligated to pay the utility rent for the years 2001 through  
24 2003. For the years 2004 and 2005 the hunt club will pay the utility a annual  
25 rental payment of \$3,600 for use of the land. Since revenues are not to be

1 | received until 2004, no revenues are reflected in the test year ended May 31,  
2 | 2003. Disclosure No. 1 was written to provide information regarding the plant  
3 | held for future use.

4 |         Audit Disclosure No. 2 discusses the Corporate Office - Third Floor.  
5 | During the company's last rate proceeding, in Docket No. 891345-EI, the  
6 | Commission ordered the utility to remove the cost of the third floor of the  
7 | corporate office from plant in service. The utility's Minimum Filing  
8 | Requirements (MFRs), Schedule B-4 reflects an adjustment to remove \$4,031,000,  
9 | for the historical year, from plant in service for the cost of the third floor  
10 | of the corporate office. However, the utility did not make an adjustment to  
11 | remove the cost of the third floor of the corporate office in the projected  
12 | test year ended May 31, 2003. The utility states that the adjustment is no  
13 | longer needed since the third floor of the corporate office is used and useful  
14 | for utility operations.

15 |         In 1999, audit staff toured the third floor of the corporate office.  
16 | At that time the utility stated that the third floor is primarily used for  
17 | storage of records retention; spare office furniture; miscellaneous supplies  
18 | for the kitchen, print shop, safety and health, and power delivery. It also  
19 | contains a workshop for building maintenance. Over 90% of the 52,000 square  
20 | feet of office space is utilized. The current audit staff also toured the  
21 | third floor of the corporate office and concurs with the utility's statement  
22 | above.

23 |         Audit Disclosure No. 3 discusses the Corporate Office Restaurant and  
24 | Bank. The utility rents a portion of its corporate office space to Norma's  
25 | Restaurant. In addition, the utility donates office space within its

1 | corporate office to Gulf Power Employees Credit Union. The employee cafeteria  
2 | currently being leased to Norma's Restaurant serves the function of providing  
3 | employees with food service. During the 1990 rate case review of the  
4 | utility's corporate office building, the amount of investment related to the  
5 | cafeteria space was reviewed and allowed in rate base. Norma's Restaurant  
6 | opened for business in 1997 to provide cafeteria service for the occupants of  
7 | the building, catering in the building, and a restaurant open to the general  
8 | public. By leasing the space to Norma's as a public restaurant rather than  
9 | operating the cafeteria only for employees through a management company, or  
10 | operating it with utility employees, the utility has lowered costs through a  
11 | reduction in the custodial staff that supported catering in the building and  
12 | eliminating the cafeteria management fee. The utility improved the quality  
13 | of service to its employees while at the same time reduced its costs and  
14 | increased lease revenue. Norma's Restaurant is billed a monthly lease  
15 | payment. These monthly lease payments are recorded in Account 454 - Rent from  
16 | Electric Property.

17 |       The services provided by the credit union are an employee benefit to the  
18 | utility's employees. Banking services such as check cashing, loans,  
19 | investments, and other services are available to employees at no cost to the  
20 | utility. The credit union's office space is donated. This disclosure was  
21 | written to provide information.

22 |       Audit Disclosure No. 4 discusses Other Operating Revenues. The  
23 | utility's Minimum Filing Requirements (MFRs), Schedule C-10 reflects other  
24 | operating revenue amounts for the historical year and projected test year.  
25 | Account 454 - Rent from Electric Property decreased from \$5,323,000 to

1 | \$4,837,000, or 9.1% from the historic year to the test year. Account 456 -  
2 | Other Electric Revenues increased from \$5,016,000 to \$6,248,000, or 24.5%.

3 |       The decrease in Account 454 - Rent from Electric Property primarily  
4 | reflects an accounting change to no longer credit miscellaneous revenue for  
5 | billings made to affiliates for their use of building space and office  
6 | furniture and equipment. These billings are now being credited to expense to  
7 | properly offset the building and equipment costs with the amounts being  
8 | recovered from affiliates.

9 |       The increase in Account 456 - Other Electric Revenues reflects an  
10 | increase in revenues related to the utility's share of wheeling and  
11 | transmission service related transactions and cogeneration service charges.  
12 | Disclosure No. 4 was written to provide information.

13 |       Audit Disclosure No. 5 discusses the Operation and Maintenance (O&M)  
14 | Expense Budget Process. My understanding of the O&M expense budget process  
15 | is as follows. The utility's Chief Financial Officer (CFO) reviews budgeted  
16 | revenues forecasted for the period and communicates a budget message that  
17 | outlines the goals and objectives of the utility and gives guidelines to the  
18 | planning units for development of their budgets and forecasts. The budget  
19 | message issued by the CFO includes an inflation rate. The rate of inflation  
20 | provided for the 2003 forecast was 2.4 percent. Southern Company Services  
21 | utilizing forecast data obtained from Regional Financial Associates (RFA), now  
22 | known as Economy.com, Inc. develops these rates of inflation. The budget  
23 | message also includes customer growth rates provided by the Marketing  
24 | Department. The customer growth rate provided for preparing the O&M budget  
25 | was 1.7 percent for 2003. Salary escalation rates are furnished annually by

1 Human Resources and sent by separate correspondence to the manager of the  
2 planning unit. The labor escalation rate used for the 2003 forecast was 4  
3 percent.

4 The utility has 29 planning units that roll up into 5 functional areas  
5 to develop the utility's O&M expense budget. Each planning unit receives the  
6 budget message which contains the inflation rates and customer growth rates.  
7 The planning units are not required to use the inflation rates or customer  
8 growth rates provided in the budget message. This information provided in the  
9 budget message is used as a guideline or reference tool for the planning  
10 units. These planning units use a modified zero base budgeting methodology.  
11 This methodology allows the planning units the flexibility to build their  
12 budget program by program each year. Some planning units that have little  
13 variation from the prior year may use the prior year approved budget and  
14 adjust the dollars for escalation and/or new programs.

15 Each planning unit develops its budget by FERC Sub account. If the  
16 planning unit can develop the amount to budget for a specific O&M expense, the  
17 developed amount becomes the budgeted amount for that specific O&M expense.  
18 Each planning unit maintains supporting documentation for these developed  
19 amounts. If the planning unit is unable to develop the budgeted amount for  
20 a given expenditure, then the inflation rate or customer growth rate provided  
21 in the budget message may be used. Therefore, it is possible that a FERC Sub  
22 account could contain known developed amounts and amounts adjusted by  
23 inflation rates and/or customer growth rates provided in the budget message.

24 Corporate Planning reviews submittals for compliance with the company  
25 guidelines and compiles the data for review by the CFO and leadership team.

1 Any changes are documented and then the approved budget is sent to the  
2 planning units. Each planning unit monitors their budget to actual comparison  
3 using the accounting reporting on-line system referred to as Southern  
4 Financial Information Access System (SOFIA). Quarterly reports are required  
5 that explain any variance plus or minus 10 percent and the variance amount is  
6 greater than or equal to plus or minus \$25,000. Year-end projections are also  
7 received from each planning unit. This disclosure was written to provide  
8 information.

9 Q. Does this conclude your testimony?

10 A. Yes.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MS. STERN (Continuing):

2 Q Mr. Bass, did you also file an exhibit, EDB-1,  
3 along with your testimony?

4 A Yes, I did.

5 Q Do you have any changes to make to that exhibit?

6 A Yes, Page 10, Paragraph 4 of my exhibit originally  
7 contained information that Gulf requested to be treated as  
8 confidential. This request has been withdrawn, and this  
9 information is no longer confidential.

10 Q Thank you.

11 MS. STERN: And this information is the  
12 declassified information that is now being passed out to  
13 the parties and the commissioners, and we ask that it be  
14 incorporated into Exhibit EDB-1. We also ask that the  
15 exhibit be marked for identification at this time.

16 CHAIRMAN JABER: EDB-1 will be Exhibit 47. And let  
17 the record reflect that that includes the modification  
18 made today.

19 MS. STERN: Okay. And Mr. Bass is available for  
20 cross examination.

21 CHAIRMAN JABER: Do you have -- did you have a  
22 summary, or you don't want to give a summary?

23 WITNESS BASS: I have a summary.

24 BY MS. STERN (Continuing):

25 Q I'm sorry. Give your summary, Mr. Bass.

1                   CHAIRMAN JABER: Go ahead.

2                   A     Good morning, commissioners, Madam Chairman, and  
3 parties. The purpose of my testimony is to present the  
4 staff's audit report. The audit report addresses two  
5 exceptions and five disclosures.

6                   Exception Number 1 of the audit report reflects an  
7 adjustment to advertising expenses related to image  
8 enhancement. Exception Number 2 reflects an adjustment FOR  
9 lobbying expenses.

10                   Disclosure Number 1 discloses several facts related  
11 to the Caryville Plant site included in the utility's Plant  
12 Held for Future Use. Disclosure Number 2, discloses the  
13 results of the audit staff's tour of the utility's third  
14 floor of the corporate office. Disclosure Number 3 discloses  
15 the facts pertaining to the corporate office restaurant and  
16 credit union. Disclosure Number 4 provides a comparison of  
17 other operating revenues between the historical year and the  
18 projected test year. And finally, the last disclosure,  
19 Number 5, discloses the process by which the operations and  
20 maintenance expense budget was prepared.

21                   This concludes my summary. Thank you.

22                   CHAIRMAN JABER: Thank you, Mr. Bass.

23                   MS. STERN: Thank you. Now Mr. Bass is available  
24 for cross examination.

25                   CHAIRMAN JABER: Major?

1 MR. ERICKSON: No questions.

2 CHAIRMAN JABER: Mr. Gross?

3 MR. GROSS: No questions.

4 MR. PERRY: No questions.

5 EXAMINATION

6 BY MR. BURGESS:

7 Q Mr. Bass, if I could get you to reference Page 4 of  
8 your testimony, beginning on Line 7. You address the issue  
9 of image enhancement advertising expenses. You indicated  
10 that you have reviewed the expenses. Does that also mean  
11 that you have reviewed certain advertisements themselves for  
12 content?

13 A Correct.

14 Q And did you look at the advertisements -- are you  
15 familiar with the testimony filed by Kimberly Dismukes in  
16 this docket?

17 A Yes.

18 Q Did you review the advertisements that she cited?

19 A Yes.

20 Q Are you in agreement that those advertisements  
21 incorporated image enhancement?

22 A Yes.

23 Q Do you think it's possible for Gulf to get out its  
24 message with regard to conservation and other educational  
25 matters without engaging in the type of image enhancement

1 that might be found objectionable?

2 A Could you repeat that question for me, please?

3 Q Yes. Do you think that Gulf can get out the  
4 substance of its message on certain topics, educational  
5 topics, like conservation and that sort of thing, without  
6 engaging in image enhancement in the process?

7 A Yes.

8 MR. STONE: Commissioner Jaber, I would object to  
9 the question. There is not a proper foundation. There  
10 has been no foundation to establish Mr. Bass is an  
11 expert in advertising or communication, and so he's  
12 being asked for an opinion with regard to matters that  
13 are beyond the scope of his testimony and beyond the  
14 scope of his stated expertise.

15 CHAIRMAN JABER: Okay. Mr. Burgess, I heard two  
16 objections. You haven't laid a proper foundation, and  
17 this is beyond the scope of his testimony.

18 MR. BURGESS: Yes, and then I didn't hear any  
19 explanation for not laying the proper foundation. I  
20 went through whether he had -- was familiar with the  
21 content of the advertisements. I asked him whether he  
22 examined them to determine whether they incorporated  
23 image enhancement in those advertisements, and then I  
24 asked him whether he thought it was possible for them to  
25 achieve it. I don't know. I think there has been

1           adequate foundation laid for the question.

2           With regard to his expertise, the complaint that  
3           he -- or the adjustment that's recommended by the  
4           Commission staff pursuant to this testimony is that  
5           image enhancement advertising be removed; and so,  
6           obviously, he has offered it, and it has not been  
7           objected to with regard to its removal. So, you know, I  
8           think it's reasonable to ask him whether it can  
9           be -- whether he thinks that the necessity of providing  
10          the information that Gulf believes needs to be provided  
11          through its advertising can be done without image  
12          enhancement.

13          CHAIRMAN JABER: Okay. Objection overruled. I'll  
14          allow the question.

15          And, I believe, Mr. Bass, your answer was yes?

16          WITNESS BASS: Correct.

17          CHAIRMAN JABER: Okay. Next question.

18          MR. BURGESS: Thank you. That's all the questions  
19          we have. Thanks.

20          CHAIRMAN JABER: Okay. Commissioners, do you have  
21          any questions?

22          COMMISSIONER PALECKI: Yes.

23          CHAIRMAN JABER: Let's do that before we allow Gulf  
24          Power.

25          COMMISSIONER PALECKI: With regard to the Caryville

1 site, are you aware how the Commission treated that site  
2 in the last rate case?

3 WITNESS BASS: Yes.

4 COMMISSIONER PALECKI: And what did the Commission  
5 do in the last rate case? I recall it was an issue. I  
6 just don't recall what the outcome was.

7 WITNESS BASS: It was included as plant held for  
8 future use in the last rate case.

9 COMMISSIONER PALECKI: And is that why you made it  
10 an audit disclosure rather than an audit exception?

11 WITNESS BASS: Correct.

12 COMMISSIONER PALECKI: Do you recall what the  
13 Commission's reasoning was with regard to plant held for  
14 future use at that time? I guess what I'm trying to  
15 ask, at that time were there any tentative plans even  
16 that there would be a plant built at that site? Are  
17 there any such plans now? Is this something we should  
18 take a closer look at?

19 WITNESS BASS: It is my understanding that there  
20 were plans for that site in the future.

21 MS. STERN: I might be able to help with that  
22 question.

23 CHAIRMAN JABER: Not if you're going to testify.

24 MS. STERN: Oh, okay.

25 CHAIRMAN JABER: But maybe on redirect you can

1 flesh some of that out.

2 MS. STERN: Okay.

3 CHAIRMAN JABER: Okay.

4 COMMISSIONER PALECKI: You said there were plans in  
5 the last rate case?

6 WITNESS BASS: Yeah, it's my understanding that  
7 there were plans for that site in the future.

8 COMMISSIONER PALECKI: Are there plans now for that  
9 site?

10 WITNESS BASS: I don't recall any plans for that  
11 site.

12 COMMISSIONER PALECKI: Do you know if there was any  
13 analysis done as to whether it was a promising site for  
14 a power plant within any time in the near future? The  
15 reason I'm asking is because I was involved as staff in  
16 the last rate case. I recall that that was a major  
17 issue, and I just haven't seen that level of analysis in  
18 this case.

19 WITNESS BASS: I haven't conducted any analysis on  
20 that, but I believe that site -- it is hard to find  
21 sites like that, and I believe that site is a valuable  
22 site for the future for generation.

23 COMMISSIONER PALECKI: Thank you.

24 CHAIRMAN JABER: Redirect.

25 MR. STONE: Commissioner, if I may, I have one

1 question I would like to ask on cross.

2 CHAIRMAN JABER: Yes. I'm sorry. Go ahead.

3 EXAMINATION

4 BY MR. STONE:

5 Q Mr. Bass, your exception with regard to  
6 advertising, that was to point out the fact that the  
7 Commission policy, as historically applied, would exclude  
8 image-building advertising; is that correct?

9 A The existing policy, correct. Yes.

10 Q Okay. You're not advocating a particular policy  
11 for the Commission, but rather pointing out that the policy  
12 exists today and that this advertising would not be  
13 consistent with that policy?

14 A That is correct.

15 Q But, again, you are not actually advocating one  
16 policy either way?

17 A Right.

18 Q Okay. So if the company was coming before this  
19 Commission in an effort to change that policy and the  
20 Commission were to agree with the company, then that would  
21 eliminate the concern you had with regard to the exception?

22 A Correct.

23 Q Thank you.

24 MR. STONE: I have no further questions.

25 CHAIRMAN JABER: Ms. Stern.

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MS. STERN (Continuing):

Q Mr. Bass, in the course of this audit, is it correct that you reviewed a number of advertisements from Gulf?

A Yes.

Q Can you estimate about how many?

A Several hundred.

Q So would it be fair to say then you've seen -- you've seen a good deal of ads?

A Yes.

Q And what -- how did you decide on whether or not an ad was image enhancing or not image enhancing?

A What I looked at was, if the ad contained information pertaining to the conservation -- to a conservation area, safety, customer information, that ad was included, or I accepted that ad. If the ad simply built relationships, enhanced image, did not contain any of those things, conservation, any of those types of things, I excluded the ad.

Q If an ad was -- if an ad -- say just an ad just had good sense, the good-sense logo, would that ad be included for recovery?

A Yes.

CHAIRMAN JABER: I'm sorry, Ms. Stern, to

1 interrupt.

2 May I take you back, Mr. Bass, to the answer you  
3 just gave. If the ad simply built relationships, I  
4 think is what you said, focused on building  
5 relationships and enhanced customer relations, you  
6 didn't accept the ad? Did I hear you correctly?

7 WITNESS BASS: Yes, that's correct, Madam Chairman.

8 CHAIRMAN JABER: Okay. But this Commission would  
9 accept -- and I'm recognizing you probably can't answer  
10 this question. That's all right. But this Commission  
11 would expect an electric company or any company, for  
12 that matter, that we regulate, to have good relations  
13 with its customers?

14 WITNESS BASS: Correct.

15 CHAIRMAN JABER: So how do you draw the line? In  
16 your own mind, when you're trying to figure out what  
17 adjustments to make, what's your thought process?

18 WITNESS BASS: Like I said earlier, we look at the  
19 ads. When we review the ads, if the ads contain  
20 information that provide customer information, safety,  
21 conservation, we include the ads. If the ad is simply  
22 enhancing the image of the company, then we exclude the  
23 ad.

24 CHAIRMAN JABER: And how do you determine if the ad  
25 is enhancing the image of the company for the purpose of

1 enhancing customer relations? You know, how do you make  
2 that determination?

3 WITNESS BASS: Can you repeat that question for me?

4 CHAIRMAN JABER: Sure. I guess I'm just looking  
5 for that fine line that I'm sure we must have to find.  
6 If the ad is enhancing the image of the corporation, of  
7 the company, because they're trying to enhance their  
8 customer relationship, how do you make the determination  
9 whether that's an appropriate ad to include in their  
10 expenses? Let me rephrase it. If we believe, if we  
11 believe the ad is enhancing the company image for the  
12 purpose of enhancing customer relationships, would you  
13 agree that we should allow that expense?

14 WITNESS BASS: I'm sorry. Can you repeat that one  
15 again for me?

16 CHAIRMAN JABER: Sure. If this Commission were to  
17 take a look at the ads and found ads that enhanced Gulf  
18 Power's company image for the purpose of enhancing  
19 customer relationships, would you agree with me that  
20 that expense should be included?

21 WITNESS BASS: Yes.

22 CHAIRMAN JABER: Okay. I'm sorry. I wasn't being  
23 very articulate.

24 Ms. Stern.

25 BY MS. STERN (Continuing):

1           Q     You cite to an order in your testimony, 64-65, I  
2 believe, and that order contains some guidance on what types  
3 of ads to include and to exclude, correct?

4           A     Correct.

5           Q     And what is that guidance?

6           A     I couldn't understand you.

7           Q     I'm sorry. What is the guidance in that order?

8           A     The guidance that I used was if the primary  
9 objective is to enhance the corporate image, then those are  
10 the ones that we disallowed.

11          Q     Okay. And we had previously marked yesterday an  
12 exhibit. I believe it was Exhibit Number 22. It was Gulf's  
13 response to an OPC request for production, and I believe you  
14 should have it in a folder by your desk.

15          A     Yeah, I have that.

16          Q     Do you have that?

17          A     Uh-huh.

18          Q     Could you just turn to the part of that exhibit,  
19 the Part C, and turn to Page 24? There is an ad there, and  
20 take a moment to review the ad.

21          A     You know what, I don't have a page number on that  
22 one. I want to get one that I'm looking at the same thing  
23 you're looking at to make sure I'm looking at the same thing.

24                   (DOCUMENT TENDERED TO THE WITNESS BY MR. STONE).

25           MS. STERN: Thank you, Mr. Stone.

1                   WITNESS BASS: Okay.

2           BY MS. STERN (Continuing):

3           Q       Okay. Why would you recommend -- Can you just  
4 characterize this ad? For example, would you say that it  
5 describes different people using -- coming home and using  
6 electricity?

7           A       That's correct.

8           Q       It shows a man coming home at night, turning on the  
9 lights; is that correct?

10          A       Correct.

11          Q       And it shows a woman cooking dinner, or it  
12 describes a woman cooking dinner?

13          A       Correct.

14          Q       And a woman reading a story to her child?

15          A       Correct.

16          Q       And then it concludes, "An evening made possible by  
17 Gulf Power with some of the lowest rates in the country."  
18 It's what we call a valuable relationship, correct?

19          A       Correct.

20          Q       And why did you exclude this ad?

21          A       I excluded this ad because there is nothing -- this  
22 ad is enhancing the image of the company, of Gulf Power.

23          Q       And does it offer any information on conservation  
24 or encouragement toward conservation?

25          A       No, it does not.

1 Q Or safety?

2 A No, it does not.

3 Q Or electric efficiency?

4 A No, it does not.

5 Q And if it offered any information on any of those  
6 things, would you have excluded it?

7 A No.

8 Q Okay. Now let's turn to an ad that's in Part A.  
9 (WITNESS COMPLIED).

10 Q Okay. I'm looking at Page 6 of 13 of Part A.

11 A Okay, I'm there.

12 Q It's a billboard?

13 A Uh-huh.

14 Q Could you just describe the billboard?

15 A The billboard shows the good cents. It's got a  
16 seal in the upper left-hand corner, good cents cooling, and  
17 it says, "The sweat stops here, Gulf Power, a Southern  
18 Company," and it lists a toll free number.

19 Q Okay. And this ad was allowed, right?

20 A Correct.

21 Q And why was it allowed?

22 A Because it contains information related to a  
23 conservation program.

24 Q Okay.

25 MS. STERN: Okay. That's all the questions I have.

1 CHAIRMAN JABER: Mr. Bass, I'm going to ask you to  
2 walk me through all of these ads and tell me which ones  
3 were allowed and which ones weren't so I have an  
4 understanding in my mind of examples.

5 Starting with Page 6 of 13, you just got done  
6 testifying that that one was allowed.

7 COMMISSIONER PALECKI: Which document are we on?

8 CHAIRMAN JABER: I'm sorry, Mr. Palecki. That's  
9 Exhibit 22. It's Gulf Power's response to OPC's Request  
10 for Production 12.

11 COMMISSIONER PALECKI: Thank you.

12 CHAIRMAN JABER: And Page 7 of 13?

13 WITNESS BASS: This ad is also included. This ad  
14 was previously approved for recovery in base rates.

15 CHAIRMAN JABER: Okay. The next page?

16 WITNESS BASS: This ad was also previously approved  
17 for recovery through base rates.

18 CHAIRMAN JABER: Okay. Page 9 of 13?

19 WITNESS BASS: Also recovered through base rates.

20 CHAIRMAN JABER: Ten of 13?

21 WITNESS BASS: Also recovered in base rates.

22 CHAIRMAN JABER: Eleven of 13?

23 WITNESS BASS: Also recovered in base rates.

24 CHAIRMAN JABER: The next page?

25 WITNESS BASS: Covered in base rates.

1 CHAIRMAN JABER: Page 13 of 13 just looks like the  
2 previous ad on this issue, but larger.

3 WITNESS BASS: It appears to be.

4 CHAIRMAN JABER: So that's allowed, isn't it.

5 WITNESS BASS: Yes, that's included in base rates.

6 CHAIRMAN JABER: Okay. So any of the ads in this  
7 exhibit -- Which ads in this exhibit then were not  
8 allowed?

9 WITNESS BASS: If you look in Exhibit B --

10 CHAIRMAN JABER: Okay.

11 WITNESS BASS: -- those are the ads that are  
12 recovered through the Conservation Cost Recovery Clause.

13 CHAIRMAN JABER: Even 5 of 18 (sic), Exhibit B,  
14 Page 5 of 8?

15 WITNESS BASS: That is my understanding.

16 CHAIRMAN JABER: Okay. Well, what's the difference  
17 between Page 5 of 8 and Page 6 of 8 with the other ads  
18 that we went through in Exhibit A that refer to good  
19 cents?

20 WITNESS BASS: It is my understanding some of the  
21 good cents ads are recovered in the Conservation  
22 Recovery Clause; some of them are recovered in base  
23 rates.

24 CHAIRMAN JABER: Is that because that's the way the  
25 company has presented it?

1 WITNESS BASS: Yes, that's my understanding.

2 CHAIRMAN JABER: Okay. Page 7 of 8, Exhibit B, was  
3 that recovered?

4 WITNESS BASS: That is also recovered in the  
5 Conservation Recovery Clause.

6 CHAIRMAN JABER: Okay. So is it safe for me to  
7 assume that the ads -- the expenses were recovered  
8 either through rates or through the recovery clauses,  
9 and the only reason they might have been recovered  
10 through the clauses is because Gulf Power made that  
11 request in the clause filing?

12 WITNESS BASS: Yes, that's my understanding.

13 CHAIRMAN JABER: Okay. Can you show me an example  
14 anywhere of an ad where it was just company enhancement  
15 and nothing else in your opinion?

16 WITNESS BASS: On exhibit -- in Exhibit C, those  
17 ads. The one we looked at earlier, 24, on Page 24,  
18 which is Page 2 of 5 of Exhibit C.

19 CHAIRMAN JABER: Okay. Thank you.

20 COMMISSIONER PALECKI: Mr. Bass, the standard for  
21 cost recovery is the same whether you're talking base  
22 rates or the Recovery Clause, correct?

23 WITNESS BASS: Could you repeat that again? I'm  
24 sorry.

25 COMMISSIONER PALECKI: Isn't the standard the same,

1 that there has to be -- well, I would imagine for the  
2 Conservation Clause it needs to be a conservation  
3 message.

4 WITNESS BASS: Correct.

5 COMMISSIONER PALECKI: Base rates, it can be  
6 conservation, safety, or other important information  
7 related to a customer.

8 WITNESS BASS: Correct.

9 COMMISSIONER PALECKI: And that's based upon a line  
10 of Commission precedent that basically says that, where  
11 you have a monopoly relationship, that the customer  
12 should not have to pay for advertising that's purely  
13 image enhancing since the customer really doesn't have a  
14 choice as to whether to choose Gulf Power or another  
15 provider for electricity?

16 WITNESS BASS: Yes.

17 COMMISSIONER PALECKI: And that's pretty much the  
18 philosophy the Commission has adopted over the years?

19 WITNESS BASS: That's correct.

20 COMMISSIONER PALECKI: And so for this Commission  
21 to allow ads that are purely image enhancing, we would  
22 have to break that precedent? And if we decided we  
23 wanted to allow cost recovery of that ad, we would  
24 basically have to break away from the past Commission's  
25 decisions?

1 WITNESS BASS: Yes.

2 COMMISSIONER PALECKI: Has there ever been a  
3 suggestion that there be a limit placed on advertising  
4 expenses and just let the utility spend -- make the ads  
5 whatever they want, but they can't spend any more than  
6 that capped amount?

7 WITNESS BASS: I'm not aware of that. I don't --  
8 Can you ask me that question again?

9 COMMISSIONER PALECKI: Has there ever been a cap  
10 placed upon -- just an amount that, you know, the  
11 Commission -- I guess what I'm trying to think of, is  
12 there another way that we could protect the ratepayers  
13 without limiting the utility to specific types of ads;  
14 and that is, by placing a cap on the pure -- on the  
15 absolute amount that they can spend on advertising or  
16 that they could recover?

17 WITNESS BASS: Yes, I think that is an option.

18 COMMISSIONER PALECKI: Do you know if that has ever  
19 been considered by this Commission?

20 WITNESS BASS: Not to my knowledge.

21 COMMISSIONER PALECKI: Thank you.

22 CHAIRMAN JABER: Any other questions,  
23 commissioners?

24 (NO RESPONSE).

25 CHAIRMAN JABER: Okay. That would be Exhibit 47,

1 Ms. Stern, admitted without objection.

2 Thank you, Mr. Bass.

3 WITNESS BASS: Thank you.

4 CHAIRMAN JABER: Gulf Power, that brings us to your  
5 rebuttal case.

6 MR. MELSON: And Mr. Benore's rebuttal testimony  
7 has already been given.

8 CHAIRMAN JABER: Right.

9 MR. MELSON: We'd like to ask that Mr. Roff's  
10 prefiled rebuttal testimony be inserted into the record  
11 as though read.

12 CHAIRMAN JABER: The prefiled rebuttal testimony of  
13 Donald S. Roff shall be inserted into the record as  
14 though read.

15

16

17

18

19

20

21

22

23

24

25

## 1 GULF POWER COMPANY

2 Before the Florida Public Service Commission  
3 Rebuttal Testimony and Exhibit of  
4 Donald S. Roff  
5 Docket No. 010949-EI  
6 In Support of Rate Relief  
7 Date of Filing: January 22, 2002

- 8 Q. Please state your name, address, and business affiliation.
- 9 A. My name is Donald S. Roff, and I am a Director with the public accounting  
10 firm of Deloitte & Touche LLP. My business address is 2200 Ross  
11 Avenue, Chase Tower, Suite 1600, Dallas, Texas 75201.
- 12 Q. Have you prepared an exhibit that contains information to which you will  
13 refer in your rebuttal testimony?
- 14 A. Yes. Exhibit (DSR-1) was prepared under my supervision and direction.  
15 Counsel: We ask that Mr. Roff's Exhibit (DSR-1) consisting of five  
16 schedules, be marked for identification as Exhibit No. \_\_\_\_.
- 17 Q. Please summarize your education and working experience.
- 18 A. My education and working experience are summarized on Schedule 1 of  
19 my rebuttal exhibit.
- 20
- 21 Q. Have you ever testified before other regulatory bodies on depreciation  
22 issues?
- 23 A. Yes. A list of my regulatory appearances is contained on Schedule 2 of  
24 my rebuttal exhibit.
- 25

1 Q. What is the purpose of your rebuttal testimony?

2 A. The purpose of my testimony is to respond to the direct testimony of  
3 Michael J. Majoros and William W. Zaetz relating to depreciation and  
4 dismantlement issues.

5

6 Q. Are you familiar with Gulf Power's 2001 Depreciation Study that was  
7 utilized in the preparation of Gulf's Minimum Filing Requirements?

8 A. Yes. The 2001 Depreciation Study was prepared for Gulf by Deloitte &  
9 Touche, and I supervised and directed that project.

10

11 Q. What are the issues addressed by Mr. Majoros and Mr. Zaetz?

12 A. Mr. Majoros specifically addresses the Company's proposed depreciable  
13 life of 20 years for Smith Unit 3. He further recommends minimum life  
14 spans for the Company's other generating units. Finally, he recommends  
15 that the Commission reconsider the issue of dismantlement costs.  
16 Mr. Zaetz merely concludes that the dismantlement of the Company's  
17 existing generating units is an unlikely event.

18

19 Q. Do you agree with the Office of Public Counsel's (OPC) proposals?

20 A. No. First, let me address Mr. Zaetz's conclusion regarding dismantlement  
21 of the Company's generating facilities. Mr. Zaetz presents a summary of a  
22 survey of retired generating units and related dismantlement activities.  
23 Based upon the survey, he concludes that utilities do not necessarily  
24 dismantle generating units when they are retired for a variety of  
25 undisclosed reasons, although he does offer one example of when a utility

1 would not dismantle a facility. Based upon this one statement, he  
2 concludes that the dismantlement of Gulf's existing units is an unlikely  
3 event. This is an insufficient basis to ask this Commission to abandon its  
4 long-standing practice of allowing recovery of projected dismantlement  
5 costs. The Florida Public Service Commission (FPSC) provides very  
6 specific guidance on how to account for and recover dismantlement costs.  
7 In fact, the Staff Report on Gulf's Depreciation Study provides a current  
8 update of dismantlement costs and the related recovery of these  
9 estimates. As I discuss below, the Company has accepted the Staff's  
10 revised calculations and requests the inclusion of those amounts in its  
11 revenue filing. I also believe this Commission should ignore Mr. Zaetz's  
12 testimony and conclusion as being unfounded and not supported.

13

14 Q. Please address Mr. Majoros' testimony and recommendations.

15 A. Mr. Majoros challenges the Company's proposed life span and average  
16 service life for the Smith Unit 3 facility. He makes reference to an analysis  
17 of retired steam and other production units. Lastly, he appears to rely on  
18 the experience of Mr. Zaetz.

19

20 Q. Do you agree with Mr. Majoros?

21 A. No. Mr. Majoros seems to cling to a "one size fits all" mentality. By this I  
22 mean: he collects a sampling of data, extrapolates a result, and then  
23 claims this result must apply to everything else. Moreover, it is unclear as  
24 to how his analysis was conducted. Based upon the calculations set forth  
25 on Schedule 4 of my exhibit, even if you accept his methodology, I do not

1 agree with his results. I have prepared Schedule 4 which is a re-creation  
2 of Mr. Zaetz's Exhibit \_\_\_\_ (WMZ-5), which was relied upon by  
3 Mr. Majoros. I have corrected what I believe are some incorrect figures  
4 from his exhibit, as well as eliminated duplicate entries and a nuclear unit.  
5 This exhibit develops a capacity weighted average life span of 38.2 years,  
6 much lower than the 55 years espoused by Mr. Majoros. In fact, the range  
7 of span lives shown on my Schedule 4 is from ten (10) years to sixty-three  
8 (63) years. Equally significant is the fact that few retirements of large  
9 generating units have been recorded. This precludes the generic use of  
10 his analysis for all types of generating facilities, and makes it particularly  
11 inapplicable to large units such as Smith Unit 3.

12

13 Q. What conclusions do you draw from your analysis?

14 A. First and foremost, the life spans used for calculating the recommended  
15 depreciation rates for Gulf Power Company's generating units are within a  
16 range of reasonableness, consistent with past experience and in line with  
17 general industry practice. This is further substantiated by the fact that the  
18 Staff Report on Gulf's Depreciation Study accepts the Company's  
19 depreciation results for Production Plant. Schedule 5 of my exhibit reveals  
20 the range of life spans used for Gulf Power Company's units.

21

22 Q. In your opinion, can Mr. Majoros' life analysis be used as a basis for  
23 determining the appropriate life span and average service life for Smith  
24 Unit 3?

25

1 A. No. There are no retirements of modern combined cycle units in this  
2 database. The analysis presented by the Company is based upon sound  
3 judgments and reliance on projected operational characteristics. In  
4 addition, the Staff Report finds the proposed 20-year life of Smith Unit 3 to  
5 be within the limits of reasonableness and consistent with other similar  
6 units within the Commission's jurisdiction. Mr. Majoros' testimony should  
7 be rejected.

8  
9 Q. Do you have any other concerns or comments on the testimony of  
10 Mr. Majoros?

11 A. Yes. His statement beginning on page 5, line 14, extending through  
12 page 6, line 3, relating to the relationship between average service life and  
13 life span and the effect of interim retirements displays a fundamental lack  
14 of understanding regarding the components of average service life.  
15 Mr. Majoros is correct that interim retirements impact the relationship  
16 between span life and average service life. He is also correct that more  
17 future interim retirements will reduce the average service life relative to the  
18 span life. What he has ignored, apparently, is that past replacements or  
19 additions have a much greater impact on the relationship between  
20 average service life and life span. This is the case for the Plant Smith  
21 Steam Units 1 and 2. This fact has been recognized in the stratification of  
22 the Plant components used to develop the depreciation rates. Per Staff  
23 requirements, the asset base for all production units was stratified by  
24 Company engineers into life of plant elements, 35-year life elements and  
25 20-year life elements. This grouping serves to develop an appropriate

1 average service life, regardless of the plant life span.

2

3 Q. Is Mr. Majoros' testimony consistent with Gulf's Depreciation Study filed in  
4 Docket No. 010789-EI?

5 A. No. Mr. Majoros' testimony is also inconsistent with the Staff Report on  
6 Gulf's Study. While I don't agree with everything in the Staff Report, it  
7 produces an overall reasonable result that supports a level of depreciation  
8 and dismantlement that is in line with what the Company is requesting.  
9 Schedule 3 of my exhibit illustrates the differences between the  
10 depreciation recommendations in the Staff Report and the  
11 recommendations in the 2001 Depreciation Study. The Company is  
12 willing to adopt all of the recommendations contained in the Staff Report in  
13 order to resolve the depreciation and dismantlement issues in this  
14 proceeding. In his rebuttal testimony, Mr. Labrato has quantified the  
15 effects of the Staff Report on the test year depreciation and dismantlement  
16 expense.

17

18 Q. Please summarize your testimony.

19 A. My testimony is based upon a thorough review and analysis of the  
20 testimony of Mr. Majoros and Mr. Zaetz, and the Staff Report on Gulf's  
21 Depreciation Study. The Staff has done a very thorough job of evaluating  
22 the 2001 Depreciation Study and the Company's filing. For the most part,  
23 the Staff is in agreement with the Company. Where there is a difference,  
24 the Company accepts the Staff recommendations. OPC's witnesses  
25 provide no specific depreciation quantifications and present unjustified

1 conclusions and recommendations. The Company will adopt the Staff  
2 recommendations and the effect of such changes should be appropriately  
3 reflected in its current revenue filing through revised depreciation rates  
4 and charges. The testimony and recommendations of OPC's witnesses  
5 should be given little or no weight and should be rejected as unfounded.

6

7 Q. Does this complete your testimony?

8 A. Yes.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           MR. MELSON: And we would ask that his exhibit  
2 DSR-1 be identified as Exhibit 48, and we would move it  
3 into the record.

4           CHAIRMAN JABER: DSR-1 is Exhibit 48 for the  
5 hearing, and it will be admitted into the record without  
6 objection.

7           MR. MELSON: We'd next ask that the prefiled  
8 rebuttal testimony of Robert D. (sic) Bell be inserted  
9 into the record as though read.

10          CHAIRMAN JABER: The prefiled rebuttal testimony of  
11 Robert A. Bell shall be inserted into the record as  
12 though read, and he has no exhibits.

13          MR. MELSON: That's correct.

14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## 1 GULF POWER COMPANY

2 Before the Florida Public Service Commission  
3 Rebuttal Testimony of  
4 Robert A. Bell  
5 In Support of Rate Relief  
6 Docket No. 010949-EI  
7 Date of Filing: January 22, 2002

8 Q. Please state your name, position and business address.

9 A. My name is Robert Bell. I am Vice President of Compensation and  
10 Benefits for Southern Company. My business address is 270 Peachtree  
11 Street, NW, Suite 800, Atlanta, Georgia 30303.

12 Q. What are your responsibilities and duties as Vice President of  
13 Compensation and Benefits?

14 A. I am responsible for directing the design, implementation and  
15 administration of compensation and benefits for Southern Company. My  
16 duties include ensuring that Southern Company provides wages and  
17 benefits that are competitive and support the Company's objectives for  
18 attracting, retaining and motivating employees. I am also responsible for  
19 ensuring that the Company complies with federal and state legislation  
20 governing employee compensation and benefits.

21 Q. Please describe your educational and professional background.

22 A. I earned a Bachelor of Business Administration (BBA) degree from  
23 Georgia State University in 1972. During my 29 years with Southern  
24 Company, I have held positions of increasing responsibility in Human  
25 Resources at Georgia Power, Southern Nuclear Operating Company and

1 Southern Company Services, Inc. My background and experience include  
2 assignments in the areas of Staffing, Equal Employment Opportunity,  
3 Human Resource Planning, and Compensation. I was named General  
4 Manager of Human Resources at Southern Nuclear Operating Company  
5 in 1988 and Director of Compensation and Benefits at Southern Company  
6 Services in 1991. I was named Vice President of Compensation and  
7 Benefits in 2000. I am active as a member of The Conference Board  
8 Research Council on Employee Benefits and the Edison Electric Institute  
9 (EEI) Compensation and Benefits Committee. In the past, I have served  
10 as a member of the Institute of Nuclear Power Operators' (INPO) Human  
11 Resource Planning Committee and EEI's Affirmative Action Committee.

12

13 Q. What is the purpose of your testimony?

14 A. The purpose of my testimony is to comment on the positions taken by  
15 Helmut W. Schultz, III, in his testimony in regard to incentive  
16 compensation, in light of the Company's compensation philosophy.

17

18 Q. What do you mean by the phrase "compensation philosophy?"

19 A. Most companies have developed a compensation philosophy to guide all  
20 compensation decisions. The compensation philosophy typically provides  
21 for the definition of the labor market, the appropriate mix of fixed and  
22 incentive pay, and the comparative level vis-a-vis the competitive market  
23 at which pay will be targeted.

24

25

1 Q. What is Gulf Power's compensation philosophy?

2 A. Gulf Power Company's philosophy is derived from the Southern Company  
3 compensation philosophy. Gulf Power's compensation philosophy is  
4 centered on the need to attract, retain, and motivate talented employees.  
5 Marketplace realities and the need to provide top quality service to our  
6 customers dictate this. In order to attract, retain, and motivate employees,  
7 Gulf Power offers a compensation plan that consists of base salaries and  
8 incentive compensation. Base salaries are targeted at or near the median  
9 of the appropriate external comparator. Through the Company's incentive  
10 pay plan, employees can earn up to an amount targeted at the top quartile  
11 of the industry.

12 In order to keep employees focused on excellence, the Company  
13 has placed a significant portion of an employee's pay "at risk." The pay is  
14 "at risk" because it must be re-earned each year, as opposed to base  
15 salary, which rarely declines in amount. It is important to note that the pay  
16 is "at risk" for the individual employee; however, the Company anticipates  
17 that total compensation expense will remain relatively constant over time,  
18 thereby enabling the Company to continue offering total pay that is market  
19 competitive. Only through performing well and meeting customer needs  
20 do employees have the opportunity to be paid at the top quartile of the  
21 industry.

22

23 Q. Mr. Schultz suggests that a portion of Gulf Power Company's projected  
24 compensation for the test year should be disallowed. Is Gulf Power's  
25 overall compensation package reasonable and appropriate?

1 A. Yes. Each year, we conduct an analysis of overall compensation. The  
2 Company utilizes compensation surveys developed by independent  
3 consulting firms to perform these analyses. Data is drawn from  
4 approximately 40 surveys that contain salary data for hundreds of jobs  
5 from a wide variety of companies. These surveys reflect the appropriate  
6 geographic and industry labor segments for the areas in which we recruit  
7 our talent. The process of defining total compensation for each position is  
8 reasonable and appropriate and consistent with sound compensation  
9 practice. Current analysis shows Gulf Power's pay to be both consistent  
10 with its compensation philosophy and current market.

11 Mr. Silva and Mr. Twery will provide more information on the  
12 competitiveness of Gulf Power's compensation in their testimony.

13

14 Q. Does this conclude your testimony?

15 A. Yes.

16

17

18

19

20

21

22

23

24

25

1                   MR. MELSON: And we would ask that the panel  
2 testimony of Mr. Silva and Mr. Twery be inserted into  
3 the record as though read.

4                   CHAIRMAN JABER: The prefiled rebuttal testimony of  
5 Tony A. Silva and Scott C. Twery shall be inserted into  
6 the record as though read.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## 1 GULF POWER COMPANY

2 Before the Florida Public Service Commission  
3 Rebuttal Testimony of  
4 Tony A. Silva and Scott C. Twery  
5 In Support of Rate Relief  
6 Docket No. 010949-EI  
7 Date of Filing: January 22, 2002

8  
9 Q. Mr. Silva, would you please identify yourself and Mr. Twery for the record,  
10 including your positions and business address?  
11

12 A. I am Tony Silva, a Principal Consultant with Hewitt Associates, and with  
13 me is Scott Twery, an Actuarial Consultant, also with Hewitt Associates.  
14 Our business address is 3350 Riverwood Parkway, Suite 80, Atlanta,  
15 Georgia 30339.  
16

17 Q. Mr. Silva, please describe your educational and professional background.

18 A. Prior to joining Hewitt, I was the Compensation Manager for the corporate  
19 headquarters of a large, high technology manufacturer. I also worked in  
20 various Human Resources areas including Employee Relations, Staffing,  
21 Compensation, Human Resource Planning, and also Marketing. I have an  
22 M.B.A. from Duke University's Fuqua School of Business and a B.A. in  
23 Management from Eckerd College. I am an active member of the  
24 American Compensation Association, and I have earned the designation  
25 of Certified Compensation Professional (C.C.P.).

I have been with Hewitt Associates for 12 years and have worked  
with over 100 organizations, including Southern Company, to assist them  
with a wide variety of Compensation and various related Human Resource

1 issues. I have extensive experience in the areas of total compensation  
2 strategy, market-based pay design, performance management, job  
3 evaluation, hourly compensation plans, variable pay program design,  
4 sales incentive compensation and alternative reward programs.

5

6 Q. Mr. Twery, please describe your educational and professional  
7 background.

8 A. I graduated from the University of North Carolina's actuarial science  
9 program in 1980. Since then, I have become a Fellow of the Society of  
10 Actuaries, an Enrolled Actuary and a member of the American Academy  
11 of Actuaries.

12 I have worked as an Actuarial Consultant at Hewitt for 21.5 years.  
13 Currently, my work is focused on helping clients with the design, financing  
14 and administration of retirement benefit plans. In addition, I help clients  
15 evaluate the comparability or competitiveness of their benefit plans to  
16 those of other employers.

17

18 Q. What is the purpose of your testimony?

19 A. The purpose of our testimony is to describe the Company's market-based  
20 pay design, in response to the testimony of Helmuth W. Schultz, III. Our  
21 testimony will include an explanation of how salary surveys are used to  
22 determine the market value of various jobs and how the data supports the  
23 Company's compensation philosophy. Survey data is used extensively by  
24 Hewitt to assist clients with pay plan design and administration.

25

1 Q. Do you agree with Mr. Schultz's concerns about the reasonableness of  
2 Gulf Power's incentive compensation?

3 A. No. Mr. Schultz's concerns are the result of an inappropriate comparison.  
4 Rather than compare incentive compensation to gross payroll and fringe  
5 benefits, it is more appropriate to evaluate Gulf Power's total cash  
6 compensation (base + incentive) against the market to insure  
7 competitiveness. The survey data referenced earlier provides total cash  
8 compensation for various jobs in the relevant market.

9  
10 Q. Is Gulf Power's overall compensation package competitive?

11 A. Yes. To ensure Gulf Power's pay policy is aligned with the external  
12 market, a "Market Position" report is normally produced on an annual  
13 basis. An estimated market value is determined for each specific  
14 benchmark job and the data is consolidated to determine a weighted  
15 average market position for each job group at Gulf Power Company  
16 including both base pay and total cash compensation (base + incentive)  
17 data. Organizations are considered to be "at market" if their pay policy  
18 falls between +/- 10% to the market. An analysis of Gulf Power's pay  
19 policy to the market was conducted in August 2001. The report confirmed  
20 Gulf Power's total compensation pay policy compared to actual pay levels  
21 is not only within the +/- 10% guideline, but is also within +/- 5% for all job  
22 groups, on average.

23  
24 Q. What companies was Gulf Power compared against to produce the market  
25 position report?

1 A. The number and type of companies that participate in a specific survey will  
2 vary. Southern Company Services Compensation personnel, with support  
3 from Gulf Power Human Resources employees, match Gulf Power jobs to  
4 jobs in third-party salary surveys. Southern Company participates in  
5 approximately 40 surveys annually that represent hundreds of jobs from a  
6 wide variety of companies and they reflect the appropriate geographic and  
7 industry labor segments for the areas in which they recruit talent.

8

9 Q. Do you have a summary of your testimony?

10 A. Yes. In closing, the market position report for Gulf Power supports the  
11 Company's compensation philosophy and is well within the parameters to  
12 be considered at market.

13

14 Q. Does this conclude your testimony?

15 A. Yes.

16

17

18

19

20

21

22

23

24

25

1 CHAIRMAN JABER: And they have no exhibits.

2 MR. MELSON: That's correct. And before we take  
3 the next witness, I understand from talking with other  
4 counsel that there is no cross examination for Witness  
5 Howell on rebuttal. He appears down toward the bottom  
6 of the list. And if the commissioners have no  
7 questions, we'd ask that he be excused from appearance,  
8 and we would deal with his testimony when we got to that  
9 point.

10 CHAIRMAN JABER: Commissioners, are you ready to  
11 say you don't have questions for Mr. Howell, or do you  
12 want to address that after lunch?

13 COMMISSIONER PALECKI: I don't have questions.

14 COMMISSIONER DEASON: I have no questions.

15 CHAIRMAN JABER: You do or you don't?

16 COMMISSIONER DEASON: No.

17 CHAIRMAN JABER: Okay. We will excuse Mr. Howell  
18 from rebuttal testimony.

19 Anything else, Mr. Melson, before we take up Mr.  
20 McMillan.

21 MR. MELSON: No, ma'am.

22 CHAIRMAN JABER: Okay. Let's call Mr. McMillan.

23 CHAIRMAN JABER: Mr. McMillan, you remember that  
24 you were sworn yesterday. You were sworn yesterday?

25 WITNESS McMILLAN: Yes, ma'am.

## EXAMINATION

1  
2 BY MR. BADDERS:

3 Q Mr. McMillan, are you the same R. J. McMillan who  
4 testified previously in this docket yesterday?

5 A Yes.

6 Q Have you prefiled rebuttal testimony consisting of  
7 six pages?

8 A Yes.

9 Q Do you have any changes or corrections to that  
10 testimony?

11 A Yes, I do. If go to Page 4, Line 4, I'm changing  
12 the 312 thousand to 218 thousand.

13 Q And with that change, if I were to ask you the same  
14 questions today, would your answers be the same?

15 A Yes.

16 MR. BADDERS: We ask that the prefiled rebuttal  
17 testimony of Mr. McMillan be inserted into the record as  
18 though read.

19 CHAIRMAN JABER: The prefiled rebuttal testimony of  
20 Mr. McMillan, Richard J. McMillan, will be inserted into  
21 the record as though read.  
22  
23  
24  
25

## 1 GULF POWER COMPANY

2 Before the Florida Public Service Commission  
3 Rebuttal Testimony of  
4 Richard J. McMillan  
5 Docket No. 010949-EI  
6 In Support of Rate Relief  
7 Date of Filing: January 22, 2002

8 Q. Please state your name, address, and occupation.

9 A. My name is Richard J. McMillan, and my business address is One Energy  
10 Place, Pensacola, Florida 32520. My title is General Accounting Manager.

11 Q. Are you the same Richard J. McMillan who provided direct testimony on  
12 Gulf Power's behalf in this docket?

13 A. Yes.

14 Q. What is the purpose of your testimony?

15 A. The purpose of my testimony is to respond to the testimony of Helmuth W.  
16 Schultz, III, pertaining to the proposed adjustment to the property  
17 insurance reserve accrual and the testimony of Kimberly H. Dismukes  
18 pertaining to the proposed adjustments related to affiliated transactions  
19 and wholesale related costs.

20 Q. On page 31 of Mr. Schultz's testimony, he recommends an adjustment to  
21 reduce the level of property insurance expense in the test year. Is this  
22 adjustment appropriate?

23 A. No. As stated by Mr. Schultz and also reflected on MFR C-28, the  
24 Company has projected a property insurance reserve balance of only  
25

1           \$16.5 million at May 31, 2003 using very conservative estimates for the  
2           charges to the reserve (for example, no costs for hurricanes were  
3           included). As stated in MFR C-28, the target level for the property  
4           damage reserve is \$25.1 million to \$36 million. The target level was  
5           approved by the Commission in Docket No. 951433-EI, based upon a  
6           storm damage study the Commission required Gulf to file in Order No.  
7           PSC-96-0023-FOF-EI. Based upon its review of the study, the  
8           Commission approved the \$3.5 million reserve accrual and the reserve  
9           target level of \$25.1 million to \$36 million in Order No. PSC-96-1334-FOF-  
10          EI. The projected reserve balance is still significantly below the approved  
11          target level, and obviously one significant hurricane could easily wipe out  
12          the entire projected reserve balance.

13

14        Q.     Have there been any changes since Gulf's MFR filing that would affect the  
15          projected property insurance expenses?

16        A.     Yes. Property insurance costs have actually increased as a result of the  
17          terrorist events of September 11. The premiums for the Company's all-  
18          risk property insurance policy, which covers our generating plants and  
19          general plant, have increased \$380,000 or 60 percent; and the deductible  
20          increased from \$1 million to \$10 million. Additionally, due to the inability to  
21          procure lower deductible amounts in the external insurance market,  
22          Southern has elected to self-insure through a captive insurance company  
23          for any property losses between \$2 million and \$10 million, at an  
24          estimated cost to Gulf of approximately \$243,000 a year. The \$1 million  
25          increase in uninsured deductibles will also result in increased charges to

1 the reserve in the future.

2 Based on the actual costs for renewing our all-risk policy alone, the  
3 property insurance expenses in the test year are understated by  
4 \$623,000. Therefore, the test year expenses should be increased  
5 \$623,000, not decreased as proposed by Mr. Schultz.

6

7 Q. Are there also problems with Mr. Schultz's calculations related to his  
8 proposed adjustment to property insurance?

9 A. Yes. There are errors in his calculations. These errors include improperly  
10 using the 2000 index on a five-year average and using the wrong test year  
11 amount for the property insurance reserve accrual.

12

13 Q. Beginning on page two of Ms. Dismukes' testimony, she discusses affiliate  
14 transactions and proposes a significant adjustment to the test year related  
15 to Southern Company Services (SCS) allocated costs. Is this  
16 appropriate?

17 A. No. The SCS expenses included in the test year are reasonable and  
18 representative of future costs. Her proposed adjustment is based upon a  
19 reallocation of SCS costs to include Southern Power Company (SPC), a  
20 new Southern subsidiary. Although SPC will receive some SCS allocated  
21 costs, increases in SCS's total costs and changes to the other affiliates'  
22 statistics and allocations may offset most if not all of this impact. The  
23 more relevant question is whether the test year level of SCS costs is  
24 reasonable and representative of future periods when the rates will be in  
25 effect. I looked at the following two scenarios to test the reasonableness

1 of the test year amounts. First, I applied the 2002 budget allocation ratios  
2 (which reflect the inclusion of SPC) to the SCS budget data used in  
3 preparing this filing, and Gulf's allocated costs actually increased  
4 ~~\$312,000~~ <sup>\$218,000</sup>. Next, I compared the test year SCS O & M amounts to the  
5 recently completed SCS 2002 Budget, and Gulf's test year O & M amount  
6 increased by \$1.5 million. This demonstrates that not only is the test year  
7 estimate reasonable, but based upon the most recent SCS budget, the  
8 test year O & M amounts are \$1.5 million understated.

9  
10 Q. Are there other problems you discovered in Ms. Dismukes' affiliated  
11 transaction testimony and proposed calculations?

12 A. Yes. The non-regulated percentages she calculates on her Schedule 1  
13 are calculated incorrectly and are overstated due to a math error. The  
14 math error is caused by incorrectly using the regulated subtotal, instead of  
15 the total, as the denominator. This overstates the non-regulated amounts  
16 and results in the total percentages exceeding 100 percent. Also, her  
17 breakdown of regulated to non-regulated is actually a comparison of the  
18 electric core subsidiaries to all other subsidiaries. Several of the  
19 subsidiaries listed under the non-regulated section are regulated, such as  
20 Southern Company Services, Southern Nuclear, and Southern Electric  
21 Generating Company (SEGCO). As a result of these errors,  
22 Ms. Dismukes significantly overstates the non-regulated percentages.

23 Also, as stated on page 9, Ms. Dismukes adjusts numerous  
24 allocators using projected or estimated 2003 data for SPC. This is flawed  
25 for numerous reasons. For example, all of the other subsidiary statistics

1 would also be increasing during this period and would have to be updated  
2 to the same period. Ms. Dismukes uses a factor of seven to estimate  
3 several statistics without any support for a correlation in this relationship.  
4 Her use of calendar year 2003 goes beyond the test year, which ends in  
5 May of 2003. Also, she assumes SPC should receive allocations for all  
6 SCS allocated activities other than those allocated based on customers,  
7 which is incorrect. This last error alone results in an overstatement of  
8 approximately \$600,000 in her adjustment. Finally, according to page 10  
9 of her testimony, Ms. Dismukes modifies or adjusts numerous allocation  
10 methods and these changes alone result in an overstatement of  
11 approximately \$450,000 in her adjustment. The SCS allocation methods  
12 are approved by the Securities and Exchange Commission (SEC) and  
13 cannot be arbitrarily changed.

14 The SCS amounts included in the test year are conservative and  
15 were based upon the best estimates available at the time of the filing.  
16 Based upon the most recent SCS budget estimates, which include SPC in  
17 the allocations, Gulf's O & M costs are projected to be \$1.5 million higher  
18 than the test year amounts included in this filing.

19  
20 Q. On page 11 of Ms. Dismukes' testimony she also proposes an adjustment  
21 of \$1.2 million related to wholesale energy. Is this adjustment  
22 appropriate?


23 A. No. Ms. Dismukes has proposed disallowing the total costs related to the  
24 SCS wholesale energy marketing function, Southern Company Generation  
25 and Energy Marketing (GEM). The primary responsibility and purpose of

1 GEM is to provide energy at the lowest possible cost to meet the territorial  
2 needs of Gulf and the other Southern electric system operating  
3 companies. This is accomplished by securing the most economical  
4 energy from the off-system markets and maximizing wholesale energy  
5 sales from temporary surplus generating capacity. These activities benefit  
6 all territorial customers, resulting in lower fuel and purchased power  
7 energy and capacity costs for both the retail and wholesale customers.  
8 The retail customers receive over 96 percent of these benefits through the  
9 fuel and capacity cost recovery clauses.

10 The GEM costs related specifically to the wholesale customers  
11 were \$243,000 in the test year. Mr. Labrato has properly removed these  
12 costs in the calculation of jurisdictional adjusted net operating income.

13  
14 Q. Does this conclude your testimony?

15 A. Yes.  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



1           MR. BADDERS: Mr. McMillan does not have an exhibit  
2           with this set of testimony, so at this time I'll have  
3           him summarize his testimony.

4           CHAIRMAN JABER: Thank you.

5           A     Good afternoon, or good morning in this case. The  
6           purpose of my rebuttal testimony is to address the proposed  
7           adjustment to property insurance expenses included in the  
8           testimony of Helmuth W. Schultz and, also, the proposed  
9           adjustments related to affiliate transactions in wholesale  
10          related costs included the testimony of Kimberly H. Dismukes.  
11          The wholesale related item has been stipulated to, I think,  
12          in earlier proceedings, so I will not go into that in more  
13          detail. But Mr. Schultz's proposed adjustment to reduce  
14          property insurance expenses is not justified and is  
15          inconsistent with prior Commission decisions.

16          The Commission approved the property insurance  
17          reserve accrual of 3.5 million dollars and the target level  
18          of the reserve of 25.1 to 36 million dollars in 1996 based on  
19          the storm damage study filed by the company. This study was  
20          required by -- to be filed by the company by the Commission  
21          as a result of the extensive storm damage that we received in  
22          1995. We are not asking for any change from the 3.5 million,  
23          and the existing target is still appropriate.

24          The company's proposed balance in the reserve of  
25          16.5 million dollars at the end of the test period is

1 significantly lower than the target level approved by the  
2 Commission and could easily be wiped out with one major  
3 storm. The company's property insurance costs have actually  
4 increased as a result of the terrorist attacks on September  
5 11th, and the test-year expenses should be increased by 623  
6 thousand, not decreased as proposed by Mr. Schultz.

7 Ms. Dismukes proposed to reduce the Southern  
8 Company's services costs in our filing based upon a  
9 reallocation of costs to Southern Power Company, which is a  
10 new southern subsidiary. Although Southern Power will  
11 receive some SCS allocated costs, increases in other SCS  
12 costs and changes to the other affiliate statistics and  
13 allocations will offset most, if not all, of this impact.

14 As noted in my rebuttal testimony, Ms. Dismukes'  
15 testimony and proposed adjustment included numerous errors  
16 and inaccurate assumptions. The two most significant errors  
17 overstated her adjustment by over one million dollars. The  
18 SCS amounts included in Gulf's test-year request are  
19 reasonable and are actually less than the 1999 actual  
20 billings and the recently updated 2002 SCS budget.

21 In order to further validate the reasonableness of  
22 the test-year expenses, I looked at two scenarios: First, I  
23 applied the new 2002 SCS budget allocation ratios from the  
24 recent budget which included Southern Power Company and used  
25 that against the actual SCS budget data included in this

1 test-year filing; and that actually increased Gulf's costs by  
2 218 thousand dollars. Next, I compared the test-year SCS O&M  
3 amounts to the recently completed SCS 2002 budget, and Gulf's  
4 test-year O&M amount would be increased by a million and a  
5 half dollars, if I used the most current SCS budget data.  
6 The SCS allocated costs, included in the projected test year,  
7 were based upon the best data available at the time of filing  
8 and are actually one and a half million dollars less than the  
9 most recent SCS budget amounts and also one and a half  
10 million less than the 1999 actual SCS O&M billings.

11 That concludes my summary.

12 MR. BADDERS: We tender Mr. McMillan for cross.

13 CHAIRMAN JABER: Thank you.

14 Mr. Gross?

15 MR. GROSS: No questions.

16 MR. PERRY: No questions at this time.

17 CHAIRMAN JABER: Mr. Burgess?

18 EXAMINATION

19 BY MR. BURGESS:

20 Q Mr. McMillan, as I understand it, what you did to  
21 determine the appropriateness of the amount of the SCS  
22 allocation for the test year is you performed two exercises  
23 involving what you term as the recently completed SCS budget;  
24 is that right?

25 A The recently completed SCS budget, correct. I

1 compared the total in the new budget to what we actually used  
2 in our forecasted test year, which was based on the 2001  
3 budget with some updates. And, actually, that recent budget  
4 would have increased our request by a million and a half.

5 Q And this SCS budget that you used to arrive at your  
6 determination, is that filed?

7 A Is it filed? I've included it in my rebuttal  
8 testimony.

9 Q Was it filed -- When was it filed? When was it  
10 completed?

11 A It was completed during the discovery period.

12 Q And when was it filed?

13 A I used it as part of my rebuttal, but as far as the  
14 actual budget, I don't think there was any SCS budget filed  
15 in the case, separate.

16 Q Okay. So the budget itself, the document itself  
17 upon which you're relying, has not been filed in this case;  
18 is that correct?

19 A I guess I could agree with that.

20 Q All right. And do I understand correctly that you  
21 have made a one hundred thousand dollar error in arriving at  
22 your conclusions based on this budget that we haven't seen;  
23 is that right?

24 A I corrected one of my two tests that I did,  
25 correct.

1 Q Thank you.

2 MR. BURGESS: That's all we have.

3 CHAIRMAN JABER: Thank you, Mr. Burgess.

4 Staff?

5 MS. STERN: No questions.

6 CHAIRMAN JABER: Commissioners?

7 (NO RESPONSE).

8 CHAIRMAN JABER: Okay. Redirect?

9 MR. BADDERS: No redirect.

10 CHAIRMAN JABER: Thank you, sir.

11 Your next witness, Gulf.

12 MR. BADDERS: The next witness we call is R. M.

13 Saxon.

14 R. M. SAXON

15 was called as a witness on behalf of Gulf Power Company, and,  
16 having been duly sworn, testified as follows:

17 EXAMINATION

18 BY MR. BADDERS:

19 Q Mr. Saxon, are you the same Mr. Saxon who was sworn  
20 in yesterday and provided testimony yesterday morning?

21 A Yes, I am.

22 Q Have you prefiled seven pages of rebuttal testimony  
23 in this docket?

24 A Yes, I have.

25 Q Do you have any changes or corrections to that

1 testimony?

2 A Yes, I do. On Page 6, Line 22, change \$1,172,772  
3 to \$1,156,635. On the same page, Line 23, change \$1,118,728  
4 to \$1,114,054.

5 Q With those changes, if I were to ask you the same  
6 questions today, would your answers be the same?

7 A Yes, they would.

8 MR. BADDERS: We ask that the prefiled rebuttal  
9 testimony of Mr. Saxon, be inserted into the record as  
10 though read.

11 CHAIRMAN JABER: The prefiled rebuttal testimony of  
12 R. Michael Saxon shall be inserted into the record as  
13 though read.

14

15

16

17

18

19

20

21

22

23

24

25

## 1 GULF POWER COMPANY

2 Before the Florida Public Service Commission  
3 Rebuttal Testimony and Exhibit of  
4 R. Michael Saxon  
5 Docket No. 010949-EI  
6 In Support of Rate Relief  
7 Date of Filing: January 22, 2002

- 8 Q. Please state your name, address, and occupation.
- 9 A. My name is R. Michael Saxon, and my business address is One Energy  
10 Place, Pensacola, Florida, 32520. I am the Manager of Corporate  
11 Planning for Gulf Power Company
- 12 Q. Are you the same R. Michael Saxon that provided direct testimony on Gulf  
13 Power's behalf in this docket?
- 14 A. Yes, I am.
- 15 Q. What is the purpose of your rebuttal testimony?
- 16 A. The purpose of my rebuttal testimony is to address the testimony of  
17 Helmuth W. Schultz, III, as it relates to the O & M and Construction  
18 Budgets in general and specifically discuss those issues pertaining to  
19 Customer Accounts and a portion of General Plant.
- 20
- 21 Q. Have you prepared an exhibit that contains information to which you will  
22 refer in your rebuttal testimony?
- 23 A. Yes. Exhibit (RMS-2) was prepared under my supervision and direction.
- 24
- 25

1 Counsel: We ask that Mr. Saxon's Exhibit (RMS-2),  
2 consisting of three schedules, be marked for identification as  
3 Exhibit \_\_\_\_ (RMS-2).  
4

5 Q. Mr. Schultz raises some concerns about Gulf's Construction Budget. How  
6 would you respond to these concerns?

7 A. Gulf's Construction Budget is the Company's best estimate of future  
8 capital requirements as of a given point in time. While changing priorities  
9 require that adjustments be made from time to time, the Construction  
10 Budget is an accurate representation of planned construction activity. The  
11 actual results for 2001 are now available, and total capital expenditures  
12 were 1.85 percent under budget for 2001.

13  
14 Q. Are you sponsoring a portion of the General Plant Budget in this filing?

15 A. Yes. My direct testimony states on page 7 that I am testifying to the  
16 portion of General Plant that relates to telecommunications, computer,  
17 and other equipment. These General Plant expenditures are projected to  
18 be \$1.8 million in the test year. This is well within the range of normal  
19 expenditures for what Gulf has been spending for this portion of General  
20 Plant for the last three years and expects to spend for the period  
21 January 1, 2001 through May 31, 2002. Schedule 1 of my rebuttal exhibit  
22 gives a listing and a brief description of the projects that make up the  
23 \$1.8 million.  
24  
25

1 Q. Are Mr. Schultz's comments regarding the appropriateness of the test  
2 year justified?

3 A. No. The test year represents the first full year of operations for our new  
4 combined cycle unit, Smith 3, and also the first full year new rates will be  
5 in effect as a result of this case. Gulf utilizes a very straightforward,  
6 logical, and comprehensive process in developing its budget. The  
7 projected test year reflects what the Company needs for normal utility  
8 operations.

9  
10 Q. Has Gulf been responsive to the Office of Public Counsel's (OPC) request  
11 for information on the Company's budget detail?

12 A. Yes. Gulf has provided the budget detail requested by the OPC. OPC's  
13 request for Production of Documents (POD) No. 9 states - "Provide a  
14 copy of the O & M budget for the years 2000, 2001, 2002, 2003, and test  
15 year in the most detailed format available (i.e. cost center, budget center,  
16 etc.)." In response, Gulf provided the budget by cost center for each of  
17 the requested years. Each cost center represents one of the 29 planning  
18 units that prepare a budget. The five categories listed on the response to  
19 POD No. 9 are not grouped by FERC function, but rather by Vice-  
20 President reporting areas.

21  
22 Q. Mr. Schultz refers to a more detailed response to POD No. 9. How was  
23 that provided?

24 A. Subsequent to a verbal request from the OPC consultants, Gulf prepared  
25 and provided an account and sub account (FERC/Sub) detail response to  
26 POD No. 9. Since Gulf's response to POD No. 9 is not a functional

1 display of Gulf's budget (POD No. 9 is a reporting view by Vice President),  
2 the FERC/Sub information will tie only in total to the response to POD  
3 No. 9.

4  
5 Q. Was additional information provided to the OPC consultants during their  
6 review of documents made available at Gulf Power Corporate  
7 headquarters?

8 A. Yes. Based on a verbal request from the OPC consultants during their  
9 review of discovery at Gulf's Corporate Office, Gulf promptly prepared and  
10 provided a monthly detail by FERC/Sub for each of the years 2002 and  
11 2003. This information consisted of a total of 78 pages for each year. For  
12 FERC Account 500, Gulf's Production function uses several additional  
13 fields to help them track their costs by plant, unit, and/or project. The 116  
14 entries for FERC Account 500 have other segment characteristics used by  
15 Production to help them monitor their actual & budget expenses.  
16 Schedule 2 of my rebuttal exhibit is a monthly FERC/Sub listing for the  
17 years 2002 and 2003. This schedule has summed up for each FERC/Sub  
18 the information contained on the 78-page document provided earlier.

19  
20 Q. Does Gulf's O & M quarterly variance report submitted in response to  
21 OPC's POD No. 4 suggest that a more detailed budget exists?

22 A. No. Mr. Schultz had difficulty comparing Gulf's response to POD No. 9  
23 and its response to POD No. 4 due to a reorganization at Gulf in the  
24 summer of 2000 that shifted some of the Planning Unit responsibilities  
25 among the Vice-Presidents. The format of our variance report did not

1 reflect this change until the year 2001. Also on the variance report  
2 provided in response to POD No. 4, the Southern Company Services  
3 charges are listed with each Planning Unit and on the response to POD  
4 No. 9 they are all listed in one Planning Unit. Schedule 3 of my rebuttal  
5 exhibit displays the response to POD No. 9 and reconciles it to the  
6 response to POD No. 4.

7  
8 Q. Is Gulf's O & M quarterly variance report sufficiently detailed for the  
9 Company to use as a tool for decision making and planning?

10 A. Yes. Gulf's O & M variance reports help the Company monitor expenses  
11 and aid in year-end forecasting for each of the Planning Units.

12 Explanations are required when a variance meets the guidelines as  
13 outlined in my direct testimony on page 10, lines 21 through 23. These  
14 explanations are usually handled in a memo format. The variance reports  
15 are prepared in a functional format by each Planning Unit and are not  
16 meant to provide a detailed breakdown. If additional detail is required, my  
17 department addresses the issue with the Planning Units and questions  
18 are answered.

19

20 Q. On pages 17 and 18 of Mr. Schultz's testimony, there is a discussion on  
21 the number of positions and associated expenses for the projected test  
22 year. Do you agree that the 19 positions should be removed from the  
23 projected test year?

24 A. No. The positions reflected in the test year and beyond represent the  
25 employees that Gulf intends to have during the test year in order to

1 accomplish its objectives, including the new activities and programs that  
 2 are to be implemented within the Power Generation and Power Delivery  
 3 areas as described in the direct testimony of Mr. Moore and Mr. Fisher.  
 4 Gulf's test year expenses include six cooperative educational students  
 5 not included in the actual 2000 number; an addition of 11 positions in  
 6 Power Delivery for a class of employees that will be trained together in the  
 7 earned progression program; and two positions in the Company's  
 8 Leadership Development program. Gulf utilizes the cooperative education  
 9 program to provide a resource pool of potential employees that have  
 10 some working knowledge of the Company and a proven track record of  
 11 ability. The Leadership Development program is used to broaden the  
 12 experience of selected employees in order to have a group ready to  
 13 assume increasingly responsible positions, as they become available.

14  
 15 Q. Please address Mr. Schultz's concern that there is a lack of justification  
 16 for the significant increase in the Account 90300205-Postage.

17 A. In the preparation of the 2001 budget and forecasted years, an error  
 18 occurred in the breakdown of expenses budgeted to accounts 90300205-  
 19 Postage and 90300202-Operations. A portion of the amount in the test  
 20 year for Account 90300205-Postage should have been budgeted in  
 21 Account 90300202-Operations. If the correct amount were budgeted for  
 22 Account 90300205-Postage in the test year it would be ~~\$1,172,772~~<sup>\$1,156,635</sup>. This  
 23 compares favorably to actual Postage for 2000 of ~~\$1,118,728~~<sup>\$1,114,054</sup>. Had the  
 24 correct amount been budgeted for Account 90300202 – Operations, the  
 25 test year amount would still be under the 2000 Actual for this account.

1 Q. Are the adjustments to customer record expenses proposed by  
2 Mr. Schultz appropriate?

3 A. No. The Company centralized the operations and maintenance of the  
4 corporate and district facilities and began charging the associated  
5 expenses to functional accounts in order to more accurately track facility  
6 expenses to the functions. Prior to this time, these expenses were being  
7 budgeted and charged in an Administrative and General account. A  
8 change in the allocation of these charges for customer record expenses  
9 accounts for \$657,754 during the test year, which explains why the test  
10 year is higher than the year 2000 expenses. Mr. Schultz's adjustment of  
11 \$546,261 to customer records is not justified when taking this into  
12 consideration.

13

14 Q. Mr. Saxon, please summarize your rebuttal testimony.

15 A. My rebuttal testimony addresses several of Mr. Schultz's assertions  
16 regarding the Company's O & M and Construction budgets. I have  
17 addressed Mr. Schultz's concern on my portion of the General Plant  
18 Construction Budget, the issue of new employees, and the Customer  
19 Accounts expense in the test year.

20

21 Q. Mr. Saxon does that conclude your testimony?

22 A. Yes.

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. BADDERS:

Q Mr. Saxon, do you have one exhibit attached to your testimony consisting of three schedules?

A Yes, I do.

Q Do you have any changes or corrections to your exhibit?

A I do not.

MR. BADDERS: We ask that Exhibit RMS-2 be identified at this time.

CHAIRMAN JABER: RMS-2 is identified as Exhibit 49.

BY MR. BADDERS:

Q Mr. Saxon, will you please summarize your testimony?

A Yes, I will. Thank you.

A The purpose of my testimony is to respond to the testimony of Helmuth W. Schultz, III on certain issues raised in this proceeding. In the testimony of Mr. Schultz, he raises some concern about the construction budgets. Gulf's construction budget is our best estimate of the future capital requirements at a given point in time. It is an accurate representation of Gulf's planned construction activity.

Mr. Schultz questioned the justification of general plant expenditures. The portion of the general plant

1 construction budget I am sponsoring relates to  
2 telecommunications, computer and other equipment. These  
3 expenditures are projected to be 1.8 million in the test  
4 year. These are prudent and necessary expenditures for  
5 Gulf's test year.

6 Another concern of Mr. Schultz is the  
7 appropriateness of the test year. Gulf's test year  
8 represents the first full year of operation of our new  
9 combined cycle unit, Smith 3, and also is the first full year  
10 new rates will be in effect as a result of this case. The  
11 projected test year reflects what the company needs for  
12 normal utility operations.

13 In addition, Mr. Schultz raises concerns about the  
14 level of budget detail provided by the company. Gulf has  
15 been responsive to all discovery requests from the Office of  
16 Public Counsel. We have provided exactly what has been  
17 formally requested, and in addition, we have responded to two  
18 verbal requests from the OPC consultants.

19 Mr. Schultz recommends that the 19 additional  
20 positions in the test year be disallowed due to lack of  
21 justification. Mr. Fisher will support 11 of these  
22 additional positions for our earned progression program. I  
23 have supported the two new leadership development positions  
24 and explained the six cooperative education positions.

25 The leadership development program is used to

1 broaden the experience of selected employees in order to have  
2 a group ready to assume increasingly responsible positions as  
3 they become available. The cooperative education program  
4 provides a resource pool of potential employees that have a  
5 working knowledge of the company and a proven track record of  
6 ability.

7 Mr. Schultz recommends an adjustment to customer  
8 accounting expense related to postage. 489 thousand dollars  
9 was budgeted postage that should have been budgeted to  
10 operations. Once corrected, postage for the test year would  
11 only be 43 thousand dollars over the 2000 actual. And  
12 operations will remain under the 2000 actual; therefore, Mr.  
13 Schultz's recommended adjustment is not justified.

14 The final adjustment proposed by Mr. Schultz is for  
15 customer records expense. The company centralized the  
16 operation and maintenance of corporate and district  
17 facilities, and in 2001 began charging the associated  
18 expenses directly to functional accounts in order to more  
19 accurately track facility expenses to the functions. Prior  
20 to this time, these expenses were charged to an  
21 administrative and general account. When taking this into  
22 consideration, Mr. Schultz's adjustment is not justified.  
23 This concludes my summary.

24 MR. BADDERS: We tender Mr. Saxon for cross.

25 CHAIRMAN JABER: Thank you.

1 MR. GROSS: I have no questions.

2 CHAIRMAN JABER: Okay. Mr. Burgess.

3 EXAMINATION

4 BY MR. BURGESS:

5 Q I just have some questions along the lines of -- as  
6 I understand it, you're saying that Mr. Schultz's adjustment  
7 to postage was unjustified and -- is that correct?

8 A That's correct.

9 Q And what he relied on in making his adjustment was  
10 Gulf's numbers that they said were relating to postage; is  
11 that right?

12 A That's correct. This error first manifested itself  
13 in the second quarter of 2001. When we realized the error  
14 existed, our budget was already locked for purposes of  
15 beginning to develop our case, so we were unable at that  
16 point to make the correction, but will be corrected in the  
17 next budget cycle.

18 Q So what you're saying is the adjustment he made is  
19 unjustified because you gave him erroneous information  
20 initially? The company gave him erroneous information  
21 initially; is that right?

22 A That amount of money did appear in the wrong  
23 subaccount, yes, sir.

24 Q So, in fact, based on the information he had at the  
25 time, his adjustment was justified?

1 A Yes, sir.

2 Q Thank you.

3 MR. BURGESS: That's all we have.

4 CHAIRMAN JABER: Thank you, Mr. Burgess.

5 Staff?

6 MS. STERN: Yes, we have some cross questions.

7 MR. HARRIS: Thank you. I'm sorry.

8 EXAMINATION

9 BY MR. HARRIS:

10 Q Mr. Saxon, I wanted to -- I believe your correction  
11 to your testimony took care of my first question, but I  
12 wanted to refer you to Page 7 of your rebuttal testimony.

13 A All right, sir.

14 Q And this is in reference to Issue 71b, Customer  
15 Records Expense. My understanding from your rebuttal  
16 testimony is that a \$657,754 adjustment should be made; is  
17 that correct?

18 A Should not be made.

19 Q Should not be made?

20 A Yes, sir.

21 Q Okay. And that number does what to the amount that  
22 you filed as part of your cost for this issue?

23 A That amount is included in Customer Records Expense  
24 for the test year.

25 Q Okay.

1           A     As I mentioned, in 2001, facilities and costs,  
2     operation maintenance costs, began being charged directly to  
3     the planning units; and that is what has manifested this  
4     change in customer records. There would be a corresponding  
5     adjustment in the A&G accounts.

6           Q     Okay. So the test-year amount that you have should  
7     include this 657,754 amount, but that amount will not be  
8     included in the different account, the A&G account?

9           A     Yes, sir, that is correct.

10          Q     Okay. Do you happen to know what Gulf's actual  
11     Customer Records Expense is supposed to be for the test year  
12     with this adjustment made?

13          A     This is really not an adjustment being made. It  
14     was budgeted this way to start with. I think it appeared to  
15     be a significant increase from 2000 to the test year which  
16     caused it to be questioned, but this is not an adjustment  
17     that's being required. This is the way it was budgeted in  
18     the beginning. So there is no adjustment within our  
19     budgeting process that's required.

20          Q     This is an explanation of why that increase appears  
21     so large?

22          A     That's correct.

23          Q     Do you know whether the budgeted test-year amount  
24     is proportionate to the actual expenses indexed forward from  
25     2001?

1           A     I think if you're asking me -- Did the test-year  
2 amount increase over 2001?

3           Q     Yes.

4           A     For Customer Accounts Expense total?

5           Q     Right.

6           A     Yes, sir, I can give you that.

7                     (WITNESS REVIEWED DOCUMENTS).

8           A     The actual for Customer Accounts Expense for 2001  
9 was \$16,694,000. The test-year amount is 16 thousand six  
10 thousand -- I'm sorry, \$16,605,000 for a reduction of 89  
11 thousand dollars.

12          Q     Thank you, Mr. Saxon. That's all I had for you.

13          A     Thank you, Mr. Harris.

14                    COMMISSIONER DEASON: Commissioners?

15                    (NO RESPONSE).

16                    COMMISSIONER DEASON: Redirect?

17                    MR. BADDERS: No redirect.

18                    COMMISSIONER DEASON: Okay. Exhibits.

19                    MR. BADDERS: Yes, we would like to move Exhibit 49  
20 into the record.

21                    COMMISSIONER DEASON: Without objection, show that  
22 Exhibit 49 is admitted. Thank you, Mr. Saxon.

23                    I believe our next scheduled witness is Witness  
24 Moore.

25    ROBERT G. MOORE

1 was called as a witness on behalf of Gulf Power Company, and,  
2 having been duly sworn, testified as follows:

3 EXAMINATION

4 BY MR. MELSON:

5 Q Would you state your name for the record, please?

6 A Robert G. Moore.

7 Q Mr. Moore, let me remind you, you're still under  
8 oath from yesterday.

9 A Yes, sir.

10 Q Have you prefiled revised rebuttal testimony, in  
11 this docket, consisting of 18 pages?

12 A Yes, sir, I have.

13 MR. MELSON: And, Chairman, that is testimony that  
14 was revised on January 28th, I believe.

15 BY MR. MELSON:

16 Q Do you have any changes or corrections to that  
17 testimony?

18 A No, sir, I do not.

19 Q If I were to ask you the same questions today,  
20 would your answers be the same?

21 A Yes, sir, they would.

22 MR. MELSON: Chairman Jaber, I would ask that Mr.  
23 Moore's revised rebuttal testimony be inserted into the  
24 record as though read.

25 CHAIRMAN JABER: The prefiled rebuttal testimony of

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Robert G. Moore dated January 28th, 2002, shall be  
inserted into the record as though read.

1 GULF POWER COMPANY  
2 Before the Florida Public Service Commission  
3 Rebuttal Testimony and Exhibit of  
4 Robert G. Moore  
5 Docket No. 010949-EI  
6 In Support of Rate Relief  
7 Date of Filing: January 22, 2002

8 Q. Please state your name, address, and occupation.

9 A. My name is Robert Moore, and my business address is One Energy  
10 Place, Pensacola, Florida 32520. I am Vice President of Power  
11 Generation and Transmission at Gulf Power Company.

12 Q. Are you the same Robert G. Moore who provided testimony on Gulf  
13 Power's behalf in this docket?

14 A. Yes.

15 Q. What is the purpose of your rebuttal testimony in this proceeding?

16 A. The purpose of my rebuttal testimony is to address the testimony of  
17 Mr. Helmuth W. Schultz, III, and the position taken by him with respect to  
18 the issues raised concerning the production function.

19 Q. Have you prepared an exhibit that contains information to which you will  
20 refer in your testimony?

21 A. Yes. Schedule 1 is an index to the other schedules in my exhibit. Each  
22 schedule of this exhibit was prepared under my supervision and direction.  
23  
24  
25

1                   Counsel:     We ask that Mr. Moore's Exhibit, comprised of  
2                                   seven schedules, be marked for identification  
3                                   as Exhibit \_\_\_\_\_(RGM-2).  
4

5    Q.     Mr. Moore, on page 6 of his testimony, Mr. Schultz suggests that  
6           production plant additions are overstated because some projects did not  
7           start on time or the projects are over or under budget. Do you agree?

8    A.     No. The two documents that Mr. Schultz apparently uses to reach this  
9           conclusion are Schedule 9 of the exhibit to my direct testimony and Gulf's  
10          response to Citizens' Interrogatory No. 22. Schedule 9 of my direct  
11          testimony is the production construction budget for the period January 1,  
12          2001 through May 31, 2002. The schedule provides individual  
13          descriptions for 77 construction projects totaling \$238,059,660. This  
14          schedule reflects only the portion of the projected budget for the period  
15          January 1, 2001 through May 31, 2002, leading up to Gulf's proposed test  
16          year. It does not include dollars budgeted for these projects before  
17          January 1, 2001 or after May 31, 2002. Citizens' Interrogatory No. 22  
18          provides the total actual dollars spent on each project through October  
19          2001, including the dollars spent prior to January 1, 2001. As a result,  
20          although some projects may appear to be over budget when doing a  
21          comparison using these two documents, they actually are not.

22  
23    Q.     How do the actual results for 2001 compare to the budget for production  
24          projects?

25    A.     Schedule 9 of my direct testimony includes \$200,942,724 of budgeted

1 expenditures for the year ended 2001. Schedule 6 of my rebuttal exhibit  
2 shows that actual construction expenditures for production for 2001 were  
3 \$199,910,034, which is only 0.5% under the original budget. The results  
4 of 2001 clearly support that Gulf has not overstated the production  
5 construction budget.

6

7 Q. Are the benefits of construction projects reflected in the O & M expense  
8 budget?

9 A. Yes. As stated on page 15 of my direct testimony, Gulf uses the Project  
10 Evaluation and Prioritization System model to determine the economic  
11 viability of a project. The benefit from construction projects will not always  
12 appear as a reduction in the O & M expenses. Some projects are  
13 performed to avoid increases in O & M expenses. Other construction  
14 projects are designed to improve the efficiency (i.e. heat rate) of our units,  
15 which results in fuel savings that are passed directly to customers through  
16 the fuel clause. A significant number of construction projects are justified  
17 because of a reduction in Equivalent Forced Outage Rate (EFOR). EFOR  
18 reductions benefit the customer through reduced off system purchases,  
19 especially during peak periods when the cost of electricity is highest. Any  
20 impact to the O & M expense associated with a construction project has  
21 already been reflected in the O & M budget.

22

23 Q. Mr. Moore, is the construction budget you have included on Schedules 9  
24 and 10 of the exhibit to your direct testimony reasonable?

25 A. Yes. As I have previously stated, the amount requested in the production

1 construction budget is necessary to continue to improve heat rate, prevent  
2 forced outages, control O & M, address environmental and safety  
3 requirements, and otherwise help ensure the availability of efficient, low-  
4 cost generation to our customers.

5

6 Q. How did the Commission establish the allowable amount of coal inventory  
7 in the last rate case?

8 A. In its last rate case, Gulf requested an inventory level equal to 105 days  
9 burn. The Commission did not approve this amount, but agreed to allow  
10 90 days projected burn or the amount of inventory projected at each plant  
11 site during the projected 1990 test year, whichever was less. The record  
12 in that case indicates that the Commission determined that Gulf projected  
13 at least 90 days of inventory at Plants Crist and Daniel but less than that  
14 amount at Plants Smith and Scholz. The allowed amount of 784,887 tons  
15 at a value of \$37 million was therefore based on 90 days burn for Plants  
16 Crist and Daniel, 64.9 days burn for Smith Plant and 57.6 days burn for  
17 Scholz Plant.

18

19 Q. How does the amount requested by Gulf in this case compare with the  
20 amount allowed by the Commission in the last case?

21 A. In this case, Gulf is requesting 695,829 tons, or 52 days projected burn  
22 compared to the previously allowed amount of 784,887 tons. Gulf is  
23 asking for \$26.8 million in coal inventory as compared to the previously  
24 authorized amount of \$37.0 million

25

1 Q. Is Gulf's request in this case consistent with the methodology applied by  
2 the Commission in the prior case?

3 A. Yes. In the last case, Gulf and the Commission used the projected test  
4 year "fuel issued to generation" to determine tons per burn day. Gulf has  
5 used the same methodology in this case. However, Gulf has applied  
6 sound analytical methods to determine the appropriate amount of coal  
7 inventory needed in the test year, and has not simply requested what was  
8 previously approved.

9  
10 Q. Please comment on Mr. Schultz's position that the Commission should  
11 disallow approximately 20 percent of the Company's fuel inventory  
12 request.

13 A. Mr. Schultz bases his position on the amount of inventory actually  
14 maintained by Gulf during the 13 month average historical year ending  
15 December 2000, reported in the current rate case filing. This is not the  
16 methodology applied by the Commission in the previous case, as  
17 Mr. Schultz asserts. In addition to looking at the wrong time frame,  
18 Mr. Schultz has not properly considered factors which made 2000 an  
19 unrepresentative year in terms of coal inventory and resulted in  
20 dangerously low year-end inventory levels. In this rate case filing, Gulf  
21 has already reduced total tons of inventory being requested by 11 percent  
22 from the amount allowed in the last rate case. I believe that to further  
23 reduce this amount simply to lower carrying costs would be reckless and  
24 would ultimately result in higher fuel and/or replacement power costs for  
25 the customer.

1 Q. What made 2000 an unrepresentative year?

2 A. The year 2000 was a challenging year for Gulf Power from a coal supply  
3 standpoint. Gulf's inventory levels dropped significantly in the last quarter  
4 of 2000 due to very early and prolonged winter conditions, unprecedented  
5 high natural gas prices, and the resulting increase in demand for coal fired  
6 generation. The winter conditions affected coal production at the mines  
7 and deliveries. Coal supplies were extremely tight throughout the country  
8 due to widespread coal production problems, which affected three of  
9 Gulf's eleven suppliers.

10

11 Q. What impact did these unusual conditions have on Gulf's coal inventory  
12 levels?

13 A. Gulf's inventories at Plants Crist, Smith and Daniel, reached 14.7, 14.8,  
14 and 14.6 normal full load burn (NFL) days, respectively. The adverse  
15 market conditions described and the unusually low inventory levels  
16 experienced during the year 2000 resulted in an average actual ending  
17 inventory level much lower than desired. The 476,481 tons used by  
18 Mr. Schultz as the basis for his recommendation is equivalent to only  
19 24.8 NFL days. This would be a dangerously low target level for Gulf.

20

21 Q. Why would this be a dangerously low target level?

22 A. Some of the offshore coal supplies that are currently economic for our  
23 plants are over a month away under normal conditions. The best case,  
24 Illinois Basin coal, is approximately ten days away under favorable  
25 weather conditions. A target inventory level of 24.8 NFL days would

1 provide very little reserve for interruptions, and could result in reliability  
2 issues if Gulf were to face the type of supply reductions and delivery  
3 delays that we experienced in 2000.

4  
5 Q. What has happened to inventory levels since the winter of 2000?

6 A. Gulf managed to recover from the winter of 2000 and rebuild inventories  
7 for the summer of 2001. Gulf's month-ending actual inventory for May  
8 2001 was 873,992 tons, or 45.3 NFL days.

9  
10 Q. What is the appropriate coal inventory for Gulf during the projected test  
11 year?

12 A. Based on my experience, it is prudent and in the customers' best interest  
13 to maintain an average inventory level of 36 NFL days, which is equivalent  
14 to 52 projected burn days. During the test year, this translates to the  
15 695,829 tons that Gulf requested in its MFRs. The coal market is  
16 dynamic, and Gulf utilizes stockpile modeling, significant operating  
17 experience, market intelligence and sound judgement to set target  
18 inventory levels that are sensitive to market conditions, will assure  
19 reliability and provide adequate price protection to the customer. It would  
20 not be advisable to arbitrarily use historical data in setting inventory  
21 targets for the future, as Mr. Schultz suggests. Inventory levels should  
22 reflect not only historical trends, but also experience-based knowledge  
23 such as operational and capacity factors, changes in economic conditions,  
24 fuel markets, weather patterns, reliability, and other additional risks,  
25 including those arising out of the events of September 11, 2001.

1 Q. Are there any other reasons to support Gulf's requested inventory level?

2 A. Yes. Gulf believes that it would not be in the customers' best interest to  
3 further lower the authorized inventory level. Such action would result in  
4 higher fuel costs, especially during periods when fuel supplies are scarce.  
5 Although Gulf's primary purpose for maintaining an adequate fuel  
6 inventory is reliability, it must be recognized that a healthy inventory level  
7 provides some price protection to the customer from adverse market  
8 conditions. Gulf's stockpile modeling and inventory target setting efforts  
9 are prudent and well thought out, and are designed to achieve an  
10 optimum inventory level that measures the cost of replacement fuel and/or  
11 energy against the holding cost of inventory. The level of inventory  
12 suggested by Mr. Schultz does not take these dynamics into account.

13  
14 Q. Is Mr. Schultz's working capital adjustment to in-transit coal appropriate?

15 A. No. Mr. Schultz's arbitrary 20 percent reduction of in-transit coal  
16 demonstrates his lack of knowledge of how coal-fired power plants  
17 operate. The purpose of in-transit coal is to assure an adequate supply of  
18 coal to meet burn requirements. In order to maintain a desired stockpile  
19 level, the amount of coal in-transit must approximate the burn.  
20 Furthermore, the importance of maintaining an adequate inventory and a  
21 sufficient flow of fuel to the power plants has become even more acute  
22 since the events of September 11, 2001. The increased risk of a  
23 disrupting event occurring in either the fuel supply and transportation  
24 sector or the power generation and transmission sector has placed new  
25 emphasis on the need to assure the availability of each and every

1 generation facility in the country. Gulf has requested an amount of fuel  
2 inventory and in-transit coal that we believe will minimize these kinds of  
3 risks at a reasonable cost.

4  
5 Q. Mr. Moore, do you have any concerns relating to the exhibit prepared by  
6 Mr. Schultz (HWS-6)?

7 A. Yes. The comparison made by Mr. Schultz on lines 16 through 19 of  
8 Schedule 6 of his exhibit is inaccurate. The basis for Schedule 6 was  
9 Gulf's response to Citizens' Interrogatory No.18 that read,

10 Production O & M. Provide a summary by year, by  
11 category, of planned outages and other maintenance  
12 costs, as described on page 6 of Mr. Moore's  
13 testimony, for the years 1995-2000, 2001 to date and  
14 projected 2001 to 2003. Also include a breakdown  
15 for the test year.

16 The baseline, outage and special project designations described on  
17 page 6 of my direct testimony are generally used within the power plants  
18 and apply to all accounts used within the plants. Therefore, the  
19 information provided in Gulf's response to this interrogatory included only  
20 those items budgeted or incurred within the plants, which includes  
21 Production Steam, Production Other, Other Power Supply, and Production  
22 Related A & G. The response to Interrogatory No. 18 did not include  
23 charges to production expenses that occur outside the plant (i.e.  
24 corporate functions). Mr. Schultz apparently took the total dollars included  
25 in our response to Interrogatory No. 18 and made a comparison to the  
26 Benchmark for

1 Production Steam, which does include these amounts. Based on this  
2 misunderstanding, the resulting adjustment discussed on page 24 of his  
3 testimony is inaccurate.

4  
5 Q. Have you prepared a schedule that outlines actual Production Steam,  
6 Production Other, and Production Other Power Supply for the period  
7 included in Mr. Schultz's exhibit?

8 A. Yes. Schedule 2 of my rebuttal exhibit reflects the actual expenses for  
9 1996 through 2000, the 5-year average for that period, the actual  
10 expenses for 2001, and the test year budget. The test year budget dollars  
11 reflected on this schedule are consistent with Schedule 7 of the exhibit to  
12 my direct testimony.

13  
14 Q. On page 23 of his testimony Mr. Schultz indicates that he does not know  
15 why there is a difference between the benchmark variance of \$5.8 million  
16 for production steam referred to on Schedule 7 of your direct testimony  
17 and his Schedule 6. Can you explain the difference?

18 A. Yes. As I indicated earlier, Schedule 6 of Mr. Schultz's exhibit to his  
19 testimony did not include all dollars for Production Steam. Schedule 2 of  
20 the exhibit to my rebuttal testimony includes all expenses for Production  
21 Steam, Other Production, and Other Power Supply. The variance for  
22 Production Steam on Schedule 2 of my rebuttal exhibit is consistent with  
23 Schedule 7 of my direct testimony.

24  
25

1 Q. Have you recalculated the recommended adjustments using Mr. Schultz's  
2 methodology for Production Steam?

3 A. Yes. Applying the logic used by Mr. Schultz, I have taken the amount  
4 included in the historical year of \$63,562,361 and inflated that by the  
5 change in the compound multiplier for average CPI between 2000 and  
6 2002 (.05165). The result is \$66,845,356, which leaves a variance of  
7 \$1,761,356 compared to the one calculated by Mr. Schultz of \$8,930,618.  
8 The \$1,761,356 variance calculated using Mr. Schultz's methodology is  
9 substantially under the \$5,786,000 benchmark variance that I have  
10 already explained in my direct testimony.

11

12 Q. Is the amount Gulf has requested for planned outages in the test year  
13 representative of the amounts expected in the future years?

14 A. Yes. Schedule 5 of the exhibit to my direct testimony includes a planned  
15 outage schedule for the test year and for the five-year period from 2002  
16 through 2006. This schedule clearly shows that the \$13,979,818  
17 requested for planned outages in the test year is below the projected five-  
18 year average of \$15,749,008.

19

20 Q. On pages 22 and 23 of his testimony, Mr. Schultz expresses a concern  
21 regarding an increase in special projects to \$3.0 million in 2001 and  
22 \$2.7 million in the projected test year. Please comment.

23 A. In preparing my rebuttal testimony, I discovered an error on page 2 of our  
24 response to Citizens' Interrogatory No. 18. That response showed  
25 \$2,650,000 projected for special projects for 2001. The correct amount

1           should have been \$952,879.

2

3   Q.    Does this correction eliminate the concern expressed by Mr. Schultz?

4   A.    No. Because the projected test year amount remains at \$2.7 million, it  
5        simply shifts the major focus of his concern from 2001 to the projected  
6        test year.

7

8   Q.    Please explain why Gulf is projecting an increase in special projects in the  
9        projected test year?

10   A.   As I stated in my direct testimony, special projects expenses are for  
11        projects significant in cost that are tracked individually to enhance cost  
12        control and ensure acceptable performance. Although a particular special  
13        project may not occur annually, there will be special projects that have to  
14        be completed each year. The level of special projects costs included in  
15        the test year is representative of costs that will be incurred in future years.  
16        In the past, special projects would have been included as baseline. We  
17        now break these out separately. This change in our process has helped  
18        Gulf better manage costs. We have continually looked for ways to  
19        improve so that we can continue to provide low cost reliable generation.  
20        Breaking out special projects from baseline provided Gulf with a means by  
21        which to better manage those dollars, to ensure that the right dollars were  
22        spent on the right issues to maximize the benefit in terms of performance,  
23        reliability, and efficiency.

24

25

1 Q. Mr. Moore, can you give us an example of an item that Gulf has included  
2 as special project?

3 A. Yes. In 2002, Gulf has money budgeted to rebuild coal chutes. In Gulf's  
4 definition, this is not a one-time event, but recurs frequently and is directly  
5 related to the tons of coal processed through that conveyor system.  
6

7 Q. Mr. Moore, have the requirements for maintaining Gulf's fleet of  
8 generating units changed since 1996 and is the maintenance amount  
9 requested for the test year consistent with the amount required in the  
10 future for production expenses?

11 A. Yes. Schedule 2 of my rebuttal exhibit clearly shows that in 1996, Gulf's  
12 actual expenses for Production were \$55,260,698 and had increased to  
13 \$66,258,414 by the year 2000. This increase supports our conclusion that  
14 the increasing age of our units and the increased generation requirement  
15 on those units is resulting in an increase in required O & M dollars.  
16 Schedule 4 of my rebuttal exhibit shows that the request for the test year  
17 is below the five-year average of 2002 through 2006 by \$9,571,874.  
18

19 Q. Mr. Moore, on page 21 of his testimony Mr. Schultz begins to make  
20 comparisons of the historical year to the test year; do you have any  
21 concerns with the basis for this comparison?

22 A. Yes. As I stated earlier, Mr. Schultz's Schedule 6 only includes total  
23 expense budgeted to Plants Crist, Smith, Scholz, and Daniel. An  
24 accurate comparison would include all of Gulf's production expenses.  
25

1 Q. Have you prepared a schedule that breaks out all Production expenses as  
2 planned outage or baseline/special projects?

3 A. Yes. Schedule 3 of my rebuttal exhibit reflects the actual expenses for  
4 1996 through 2000, the five-year average for that period, the actual  
5 expenses for 2001, and the test year budget.

6

7 Q. What is the cause of the increase in planned outage dollars from 2001 to  
8 the test year?

9 A. Earlier in my testimony I explained the increase from the Benchmark to  
10 the test year. The explanation for the increase from 2001 to the test year  
11 is the same. The increase in outage dollars is due, in part, to the  
12 additional maintenance costs associated with the increased amounts of  
13 generation required. Every generating unit on Gulf's system is at least  
14 25 years old with the exception of Daniel Unit 2, which is 21 years old.  
15 Scholz Units 1 & 2 will celebrate their 50<sup>th</sup> anniversary of service in 2003.  
16 However, through effective maintenance practices, Gulf has been able to  
17 maintain all of the generating units in a manner that provides reliable low  
18 cost electricity to our customers. In addition, effective maintenance  
19 practices have allowed Gulf to avoid costly new construction of generating  
20 facilities to replace existing generating capacity. As Gulf's generating fleet  
21 ages, and as the cost to maintain these units increases, Gulf will continue  
22 to evaluate alternatives. In today's market, the cost of maintaining the  
23 units is the best alternative for our customers.

24 Generally, the changes in planned outage dollars from year to year  
25 are driven by the scope of the outage work. Original Equipment

1 Manufacturer's recommendations, unit history, unit efficiencies, and  
2 maintenance issues are all taken into consideration when determining the  
3 scope of a planned outage. Schedule 5 of my direct testimony provides a  
4 listing of the planned outages for the test year and the five-year period  
5 2002 through 2006. Gulf's response to Citizens' Interrogatory No. 88  
6 provided a detailed description of the outages scheduled for the test year.

7  
8 Q. What is the increase from 2001 to the test year in baseline and special  
9 projects?

10 A. As shown on Schedule 3 of my rebuttal exhibit, the increase from 2001 to  
11 the test year for baseline and special projects is \$7,631,478.

12  
13 Q. What is the cause of the increase in baseline and special projects from  
14 2001 to the test year?

15 A. The addition of Smith 3 resulted in an increase in O & M of \$3,376,000  
16 and is the major contributor to the increase. These dollars are necessary  
17 to operate and maintain the new unit. I have provided details associated  
18 with these dollars in my direct testimony.

19 The change in the compound multiplier from 2001 to 2002 would  
20 result in an increase to labor, materials and contract labor of \$1,383,485.

21 In order to maintain compliance with environmental permitting,  
22 Plant Smith has increased costs associated with the ash handling system  
23 by \$730,000.

24 To continue our support of Gulf's increased emphasis of employee  
25 effectiveness and comply with all OSHA requirements, Gulf has increased

1 O & M expenses associated with training and safety by \$339,000.

2 As I have already stated, the remaining \$1,802,993 is due to the  
3 additional maintenance costs associated with the increased amount of  
4 generation required from our existing fleet. In addition, we now use  
5 diagnostic tools that were not available in 1990 such as thermography,  
6 boiler mapping, tube sampling, non-destructive examination, and motor  
7 signature testing. These tools have enhanced our ability to identify  
8 maintenance issues that help reduce EFOR and provide reliable, low cost  
9 generation to our customers.

10

11 Q. Is the increase from 2001 to the test year for baseline and special projects  
12 a one-time increase?

13 A. No. As I discussed in my direct testimony, Gulf has been proactive in  
14 implementing several major preventive maintenance programs that have  
15 improved the overall effectiveness of scheduling and planning processes.  
16 One program is the Plant Reliability Optimization (PRO) program that was  
17 developed in partnership with the Electric Power Research Institute  
18 (EPRI). PRO is a maintenance process that seeks to produce the  
19 appropriate balance between corrective maintenance, preventive  
20 maintenance, and predictive maintenance. PRO combines all diagnostic,  
21 maintenance, financial, and process data into an effective decision-  
22 making tool. The ultimate goal is to perform maintenance at the least cost  
23 while maximizing equipment reliability. The EFOR for Gulf's units has  
24 declined significantly since 1997, in part, because of efforts that have  
25 more effectively targeted preventive maintenance costs to those

1 preventive maintenance projects that have the greatest impact. These  
2 EFOR reductions have occurred even though total generation for Gulf's  
3 units has increased 25 percent from 1997 to 2000. This results in direct  
4 cost savings to the customers by minimizing replacement power costs.  
5 While some of the items discussed above will not occur annually, other  
6 projects will replace these items in subsequent years due to the dynamics  
7 of power plants.

8  
9 Q. Mr. Moore, on page 24 of his testimony, Mr. Schultz states that Gulf has  
10 been underspending. Has Gulf's production function underspent?

11 A. No. In 1990 the Commission established rates that allowed Gulf to  
12 effectively serve our customers with reliable, low cost electricity. Through  
13 1998, Gulf was able to operate within those rates through the effective  
14 management of the limited resources available. Gulf's high customer  
15 satisfaction ratings and low EFOR attest to the success of our strategy.  
16 Had Gulf underspent, customers would have suffered through higher fuel  
17 cost because Gulf would not have taken advantage of opportunities to  
18 improve unit efficiency. Customers would have suffered through higher  
19 forced outage rates which would have required Gulf to buy replacement  
20 power at a higher price. This higher price would have been passed on to  
21 the customers. Overall, such an erosion in the value of our product would  
22 have caused customer satisfaction to deteriorate. The reason we stand  
23 before this Commission today is because we have done all we can to  
24 operate under the current rate structure. The trend of spending beyond  
25 our benchmark for production, as documented in my Schedule 3, clearly

1 demonstrates Gulf has not underspent. Rather, this trend supports Gulf's  
2 need for the additional funds requested in this proceeding. The low rates  
3 and reliable service our customers have enjoyed in the past clearly  
4 support Gulf's determination to spend prudently. The dollars we are  
5 asking for in the future are prudent and necessary to continue to efficiently  
6 and effectively serve our customers.

7

8 Q. Please summarize your testimony.

9 A. I have provided additional testimony that clearly demonstrates that the  
10 Production Construction budget is reasonable and, based on the results  
11 of 2001, accurately reflects the dollars that will be spent and should be  
12 included as production plant additions. Furthermore, I have provided  
13 additional clarification of the benefits associated with construction projects  
14 and how the customers benefit from these projects.

15 Gulf's stockpile modeling and inventory target setting efforts are  
16 prudent, designed to achieve an optimum inventory level that measures  
17 the cost of replacement fuel and/or energy against holding down cost of  
18 inventory. The amount Gulf has requested in working capital for fuel is  
19 prudent and reasonable.

20 We have clearly justified the maintenance dollars Gulf is requesting  
21 for Production Steam, Production Other and Other Power Supply relative  
22 to the Benchmark variance.

23

24 Q. Does this conclude your testimony?

25 A. Yes.

1 BY MR. MELSON:

2 Q And you had attached to your testimony one exhibit  
3 labeled RGM-2 consisting of seven schedules; is that correct?

4 A Yes, sir.

5 Q Any changes or corrections to the exhibit?

6 A No, sir.

7 MR. MELSON: I'd ask that that be identified as the  
8 next exhibit.

9 CHAIRMAN JABER: RGM-2 will be Exhibit 50.

10 BY MR. MELSON:

11 Q Mr. Moore, will you please summarize your testimony  
12 for the Commission?

13 A Yes, sir.

14 Good afternoon, commissioners. As I stated  
15 yesterday in my direct, in Gulf's last rate case, we  
16 requested 45.4 million dollars in total fuel to be included  
17 in working capital. Our current request is 42.4 million for  
18 total fuel, which includes natural gas. This is three  
19 million dollars below the amount approved in the last rate  
20 case in 1990.

21 Keep in mind, our current request includes 2.1 million  
22 for gas. No gas was included in the last rate case. The  
23 fact that Gulf is making this reduction in working capital,  
24 even though generation and fuel requirements are increasing,  
25 is an example in our approach to being proactive in managing

1 our fuel inventory.

2 If I may, I must strongly disagree with Mr.  
3 Schultz's inventory levels that he has proposed. This would  
4 pose significant risk in terms of unit availability and  
5 potential exposure to off-system purchases to our customers.  
6 Gulf's request for working capital related to fuel  
7 inventories is prudent and designed to achieve an optimum  
8 fuel level which balances the carrying cost of fuel stock  
9 piles and the risk associated with interruptions in fuel  
10 supply.

11 As I stated in my direct testimony, the increased  
12 demand being placed on our aging fleet is a major cause for  
13 the need for additional O&M dollars. Witness Schultz has  
14 built his testimony on comparisons of the projected test year  
15 to five-year historical average. While it is important to  
16 understand the costs that have occurred in the past, it is  
17 not always representative of the future needs.

18 Three years ago, the demand of our units was 25  
19 percent less than it is today. Over the past three years,  
20 the production expenses have exceeded the benchmark as a  
21 direct result of the increase in generation and the increased  
22 age of our fleet. Gulf's request for O&M expenses in the  
23 test year is 9.5 million dollars under the forecasted  
24 five-year average for the years 2002 through 2006.

25 As I stated in my direct testimony, the increased

1 demand on our units and the increased need for O&M dollars to  
2 maintain our system reliability is the reason we stand before  
3 this Commission today. Gulf's request for 83.7 million  
4 dollars in production expenses for the May 2003 projected  
5 test year is an appropriate amount to effectively maintain  
6 and operate Gulf's fleet.

7 In conclusion, as I stated earlier in this  
8 proceeding, we do not take this request lightly. We  
9 recognize that our customers trust Gulf Power to do the right  
10 thing, and the decisions we make and the expenditures we are  
11 requesting are in the long-term best interest of our  
12 customers. This concludes my summary. Thank you.

13 MR. MELSON: Mr. Moore is available for cross.

14 CHAIRMAN JABER: Major.

15 MR. ERICKSON: No questions.

16 MR. GROSS: No questions.

17 MR. PERRY: No questions.

18 MR. BURGESS: No questions.

19 CHAIRMAN JABER: Staff?

20 MS. STERN: No questions.

21 CHAIRMAN JABER: Commissioners?

22 COMMISSIONER PALECKI: I have one question.

23 CHAIRMAN JABER: Go ahead.

24 COMMISSIONER PALECKI: What is the philosophy of  
25 putting the fuel inventory in rates rather than putting

1 it through the fuel clause?

2 WITNESS MOORE: Mr. Commissioner, I'm probably not  
3 the appropriate witness to testify to that. I'd  
4 probably defer that to Mr. Labrato.

5 COMMISSIONER PALECKI: All right. Thank you, .

6 WITNESS MOORE: I burn it. I don't account for it.

7 CHAIRMAN JABER: Commissioners, any other  
8 questions?

9 (NO RESPONSE) .

10 CHAIRMAN JABER: No redirect?

11 MR. MELSON: No redirect. I move Exhibit 50.

12 CHAIRMAN JABER: Move Exhibit 50 into the record  
13 without objection.

14 Thank you, Mr. Moore.

15 WITNESS MOORE: Thank you.

16 CHAIRMAN JABER: Okay. We have Mr. Kilgore next?

17 MR. STONE: We'd ask that Mr. Kilgore's testimony  
18 be inserted into the record as though read.

19 CHAIRMAN JABER: Yes. The prefiled rebuttal  
20 testimony of J. Thomas Kilgore shall be inserted into  
21 the record as though read.

22

23 MR. STONE: May we have his Exhibit JTK-1  
24 identified for the record?

25 CHAIRMAN JABER: JTK-1 will be identified as

## 1 GULF POWER COMPANY

2 Before the Florida Public Service Commission  
3 Rebuttal Testimony and Exhibit of  
4 J. Thomas Kilgore, Jr.  
5 Docket No. 010949-EI  
6 In Support of Rate Relief  
7 Date of Filing: January 22, 2002

8 Q. Please state your name, address, and occupation.

9 A. My name is J. Thomas Kilgore, Jr., and my business address is One  
10 Energy Place, Pensacola, Florida 32520. I am Gulf Power Company's  
11 General Manager of Customer Services.

12 Q. Please summarize your educational and professional background.

13 A. I graduated from Auburn University in 1980 with a Bachelor's degree in  
14 Industrial Engineering. I have been employed at Gulf since 1980 and  
15 have held various positions, including Supervisor of Forecasting and  
16 Marketing Planning, Manager of Marketing Planning and Research, and  
17 General Manager of Marketing. My entire career has been spent in areas  
18 devoted primarily to gaining a thorough understanding of customer  
19 expectations and finding ways in which those expectations can be  
20 effectively and efficiently met.

21 Q. What is the purpose of your rebuttal testimony?

22 A. The purpose of my rebuttal testimony is to address statements contained  
23 in the direct testimony of witness Richard Durbin, specifically with regard  
24 to his observations relating to consumer complaints received by the  
25 Commission concerning Gulf Power Company.

1 Q. Have you prepared an exhibit that contains information to which you will  
2 refer in your rebuttal testimony?

3 A. Yes. Exhibit (JTK-1) was prepared under my supervision and direction.

4 Counsel: We ask that Mr. Kilgore's Exhibit (JTK-1)  
5 consisting of one schedule, be marked for  
6 identification as Exhibit \_\_\_\_.

7  
8 Q. Do you have an overall reaction to Mr. Durbin's analysis of consumer  
9 complaints to the Commission against Gulf Power?

10 A. Yes, I do. It appears that Mr. Durbin's testimony is accurate and truthful,  
11 and I do not wish to take issue with the basic observations contained in  
12 his testimony. I believe, however, that it is important to expand upon his  
13 analysis of the complaint data in order to facilitate a better understanding  
14 of an increase in activity over the past two years, which he points to in his  
15 testimony. I will also expand upon Mr. Durbin's observations with regard  
16 to those complaints that indicate apparent violation of Commission rules  
17 or tariffs.

18  
19 Q. Would you please address the increase in complaints cited by Mr. Durbin  
20 in each of the last two years?

21 A. Yes. Mr. Durbin indicates that he did not observe any specific cause for  
22 the increase in complaints during the years 2000 and 2001, and further  
23 states that the complaints were about evenly divided between billing and  
24 service complaints, with high bill concerns representing the single most  
25 common type of complaint. Further examination of the billing complaints

1 during the January through May time frame for each of the years 1998  
2 through 2001 indicates a strong correlation with winter weather conditions.  
3 Schedule 1 depicts this relationship between payment related complaint  
4 activity during and following the winter season with heating degree-hours  
5 recorded during the same winter season of each of these four years.  
6 Similarly, complaints related to payment arrangements and non-pay  
7 disconnects, which appear to have been categorized as service  
8 complaints in Mr. Durbin's analysis, are also more prevalent in months  
9 following extreme weather conditions. There were eight such complaints  
10 during 2001. Finally, two of the service related complaints included in  
11 Mr. Durbin's analysis, which total 18 for the year 2001, were actually  
12 withdrawn by the customers after they realized that Gulf Power was not at  
13 fault.

14  
15 Q. What conclusions do you draw from your further examination of the  
16 complaint data?

17 A. While I agree with Mr. Durbin's observation that complaint activity  
18 increased in each of the last two years, it is important to search for and  
19 understand the underlying causes for these increases. Otherwise, one  
20 might draw the mistaken conclusion that Gulf Power's service level to our  
21 customers during the last two years has declined relative to previous  
22 years. The facts are that circumstances beyond our control, specifically  
23 weather conditions, explain the increase in complaint activity. The primary  
24 indicators that we use to gauge how well we are meeting our customers'  
25 expectations, including customer satisfaction, value and image surveys, all

1 indicate that we have sustained exceptional performance with regard to  
2 providing service.

3

4 Q. Do you agree with Mr. Durbin's statement that Gulf Power Company was  
5 found to be in apparent violation of Commission rules or tariffs in fewer  
6 than two percent of the complaints filed against it?

7 A. While his testimony does not appear to reference a specific time period for  
8 this assertion, I agree that for the years 1998 through 2001 Gulf Power  
9 was found to be in apparent violation on two of the 101 complaints,  
10 representing 1.98 percent, in these four most recent years. It is important  
11 to further note that both of these apparent violations were during the first  
12 half of 1998, and that we have gone over three and a half years without  
13 any apparent violations.

14

15 Q. Please summarize your testimony.

16 A. My testimony is meant simply to place some of Mr. Durbin's observations  
17 in their proper context. As pointed out by Mr. Fisher in both his direct and  
18 rebuttal testimony, Gulf Power is committed to providing superior service  
19 to our customers. The increase in complaints, particularly during 2001,  
20 noted by Mr. Durbin in his testimony are due to external factors beyond  
21 our control and should not be interpreted in a manner that obscures our  
22 accomplishments with regard to providing customer value which is among  
23 the very best in our industry.

24

25

1 Q. Mr. Kilgore, does this conclude your testimony?

2 A. Yes.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. STONE: May we have his Exhibit JTK-1  
2 identified for the record?

3 CHAIRMAN JABER: JTK-1 will be identified as  
4 Exhibit 51 and will be admitted into the record without  
5 objection.

6 And that brings us to Mr. Fisher, which would be  
7 the man that we have empowered. Now, you know, before  
8 Mr. Fisher gets on the stand, I'm assuming you all have  
9 questions.

10 MR. HARRIS: Yes.

11 MR. BURGESS: We have questions for Mr. Fisher.

12 FRANCIS M. FISHER, JR.

13 was called as a witness on behalf of Gulf Power Company and,  
14 having been duly sworn, testified as follows:

15 BY MR. STONE:

16 Q Mr. Fisher, I remind you, you're under oath from  
17 yesterday?

18 A Yes, counsel.

19 Q Would you state your name and business address for  
20 the record?

21 A My name is Francis M. Fisher, Jr. My business  
22 address is 1 Energy Place, Pensacola, Florida, 32520.

23 Q And you testified on direct yesterday in this  
24 proceeding?

25 A That is correct.

1 Q Have you prefiled rebuttal testimony consisting of  
2 17 pages?

3 A Yes, I have.

4 Q Do you have any changes or corrections to your  
5 prefiled rebuttal testimony?

6 A No, I do not.

7 Q So if I were to ask you the same questions today,  
8 your answers would be the same?

9 A Yes, they would.

10 MR. STONE: We ask that Mr. Fisher's prefiled  
11 rebuttal testimony of 17 pages be inserted into the  
12 record as though read.

13 CHAIRMAN JABER: Prefiled rebuttal testimony of  
14 Francis M. Fisher, Jr. shall be inserted into the record  
15 as though read.

16

17 BY MR. STONE:

18 Q Mr. Fisher, you have one exhibit attached to your  
19 rebuttal testimony that consists of six schedules; is that  
20 correct?

21 A That is correct.

22 Q Do you have any changes to your exhibits?

23 A No, I do not.

24 MR. STONE: We ask that his exhibit, FMF-2 be  
25 identified for the record.

## 1 GULF POWER COMPANY

2 Before the Florida Public Service Commission  
3 Rebuttal Testimony and Exhibit of  
4 Francis M. Fisher, Jr.  
5 Docket No. 010949-EI  
6 In Support of Rate Relief  
7 Date of Filing: January 22, 2002

8 Q. Please state your name, address, and occupation.

9 A. My name is Francis M. Fisher, Jr., and my business address is One  
10 Energy Place, Pensacola, Florida 32520. I am Gulf Power Company's  
11 Vice President of Power Delivery and Customer Operations.

12 Q. Are you the same Francis M. Fisher, Jr., that provided direct testimony on  
13 Gulf Power's behalf in this docket?

14 A. Yes, I am.

15 Q. What is the purpose of your rebuttal testimony?

16 A. The purpose of my rebuttal testimony is to address the statements  
17 contained in the direct testimony of witness Helmuth W. Schultz, III, with  
18 regard to his recommendation of certain disallowances and to provide  
19 additional information relating to the Company's construction budget and  
20 Operation and Maintenance (O & M) expenses in the distribution area. In  
21 addition, I will address the statements contained in the direct testimony of  
22 witness James E. Breman with regard to his recommendation to  
23 implement a program that provides an incentive to Gulf Power Company  
24 for maintaining reliable service and to address comments regarding Gulf's  
25 distribution tree trim program.

1 Q. Have you prepared an exhibit that contains information to which you will  
2 refer in your rebuttal testimony?

3 A. Yes. Schedule 1 is an index to the subsequent schedules to which I will  
4 refer. Exhibit (FMF-2) was prepared under my supervision and direction.

5 Counsel: We ask that Mr. Fisher's Exhibit (FMF-2)  
6 consisting of six schedules, be marked for  
7 identification as Exhibit \_\_\_\_.

8

9 Q. Would you please address Mr. Schultz's concerns regarding the  
10 distribution construction budget of \$95,413,000 and general plant budget  
11 of \$7,700,000 for the period beginning January 1, 2001 through the end of  
12 the projected test year of May 31, 2003?

13 A. Yes. A general description of the distribution and general plant additions  
14 from my area of responsibility is provided on pages 10 - 12 of my direct  
15 testimony. A listing of additional detail for these capital additions is  
16 provided in Schedule 2 through Schedule 5 of my rebuttal exhibit, which  
17 summarize the distribution construction budget and general plant budget  
18 for the period from January 2001 through the end of the test year.  
19 Approximately two-thirds of these expenditures are dedicated to customer  
20 and load growth. The requested level for the distribution construction  
21 budget and general plant budget during the 17-month period and in the  
22 test year are reasonable, prudent and necessary to provide reliable  
23 service to Gulf's customers.

24

25

1 Q. Does Gulf's Minimum Filing Requirements (MFR) filing contain sufficient  
2 information related to its distribution construction projects for the January  
3 2001 through May 2003 period?

4 A. Yes. The MFR schedules established the level of detail that Gulf is  
5 required to supply to support its distribution expenditures. Gulf provided  
6 all the required information on MFR Schedule B-10, Schedule B-13a,  
7 Schedule B-13b and Schedule F-17.

8

9 Q. Do you have an overall reaction to Mr. Schultz's analysis of distribution  
10 O & M expenses and the resulting recommended adjustments?

11 A. Yes. It appears that Mr. Schultz's general approach was to review the  
12 previous five years expense history, apply an inflation factor, calculate a  
13 five year average of the inflated costs and recommend disallowance of  
14 expenses over this average. This approach does not take into account  
15 the dynamic factors affecting the management of the total Company.

16

17 Q. Can you provide examples of the dynamic factors that have an impact on  
18 the management of the expense budget?

19 A. Yes. One example is the preparation that was necessary for the transition  
20 to the year 2000 (Y2K). This effort was one that was of paramount  
21 importance to our Company, our industry and to the regulatory  
22 community. There were thousands of individual systems, programs and  
23 pieces of equipment that had to be reviewed for compliance, and if  
24 necessary upgraded or replaced. Certain resources normally directed  
25 toward ongoing activities had to be redirected to accomplish this

1 enormous task. These costs were managed by the Company in such a  
2 manner as to successfully accomplish this task without requesting a rate  
3 increase to cover the large cost of Y2K, while at the same time meeting  
4 the needs of our customers.

5 More recently, the terrorist events of September 11, 2001 put our  
6 country in a state of war. The electric utilities throughout the nation are an  
7 integral part of all Americans' lives and make a critical contribution to the  
8 economy. Consequently, Gulf incurred incremental security costs related  
9 to protecting the physical assets of our electric facilities, including power  
10 plants. These unusual and unprecedented security expenses were once  
11 again managed by the Company in such a manner as to successfully  
12 accomplish this task while meeting the needs of our customers.

13 Although these examples could be considered one-time  
14 occurrences, it has been our experience that new programs, events, and  
15 technologies will come up. Over the past few years as stated in my direct  
16 testimony, we have added new technologies and changed our work  
17 methods to keep up with the growth of our service territory and the  
18 changing expectations of our customers.

19

20 Q. Have such occurrences impacted the level of spending for normal  
21 maintenance activities?

22 A. Yes. The end result is that historical levels of spending on normal  
23 maintenance activities, such as tree trimming and pole inspections, are  
24 less than what is required on an ongoing basis. We cannot "keep robbing  
25 Peter to pay Paul."

1 Q. Are the adjustments to distribution expenses proposed by Mr. Schultz  
2 appropriate?

3 A. No. The proposed adjustments do not take into account the Company's  
4 efforts to effectively address situations such as those described above  
5 and other situations that arise without seeking a rate increase to recover  
6 the costs required. Mr. Schultz's proposed adjustments also potentially  
7 penalize efforts to reduce costs in a particular program.

8

9 Q. Do you have an example of a situation that could penalize an effort to  
10 reduce costs?

11 A. Yes. In my direct testimony regarding Gulf's efforts to control costs in its  
12 tree trimming program, I discuss how this has resulted in an increased  
13 dependence upon less efficient and less effective spot trimming. The  
14 result has been an increase in the annual minutes of interruption to our  
15 customers for tree related outages from 1,557,000 in 1997 to 5,988,000 in  
16 2000. We have responded to this trend by increasing the budget for tree  
17 trimming on a going-forward basis. Mr. Schultz's methodology would  
18 penalize the tree trim program and would prevent the Company from  
19 meeting our customers' expectations regarding reliability. I will have more  
20 to say related to tree trimming later in my testimony.

21

22 Q. Would you like to address the statement made by Mr. Schultz that cable  
23 costs associated with extending the life of an asset are typically  
24 capitalized, not expensed?

25 A. Yes. The injection of silicone fluid into underground primary cable does

1 not involve the addition or removal of a plant unit. It is maintenance of  
2 existing facilities; therefore, Gulf Power is expensing the cost associated  
3 with this procedure.

4

5 Q. Why is the cable injection program included in the test year when in the  
6 years 2000 and 2001, nothing was budgeted and nothing was expended?

7 A. In the past, the manufacturer's warranty for injected cable was only for  
8 three years. This was recently changed to an unconditional 20-year  
9 warranty. The cable injection program is now more cost-effective and  
10 Gulf's forecasted budget includes expenses related to this program.

11

12 Q. Is the \$129,763 adjustment to cable injection proposed by Mr. Schultz  
13 appropriate?

14 A. No. The budgeted amount of \$166,099 is not the entire cost of this  
15 project. It is the cost of injecting approximately 4.5 miles of cable in the  
16 test year only. Comparable amounts are budgeted in the forecast years  
17 for this ongoing project.

18 This project was reinstated after the manufacturer extended the  
19 warranty period. The prior five-year historical average is therefore not an  
20 appropriate basis for establishing the budget since Gulf Power did not  
21 incur costs in this activity in three of the five previous years. The five-year  
22 historical period is not at all representative of future requirements because  
23 existing cable is aging and deteriorating.

24

25

1 Q. Is the \$391,316 adjustment to substation maintenance proposed by Mr.  
2 Schultz appropriate?

3 A. No. The historical five-year period is not representative of future periods.  
4 The inflation adjusted historical five-year average contains two years  
5 (1999 and 2000) in which six substation electricians normally assigned to  
6 substation maintenance (O & M) were temporarily reassigned to  
7 substation plant construction due to the need for resources on several  
8 construction projects. Examples of substation construction completed by  
9 Gulf's electricians include converting Beulah Substation from 115 kV to  
10 230 kV and installing a new 20 MVA transformer in Molino Substation with  
11 two new feeder bays in 1999. During 2000, examples of construction by  
12 Gulf's electricians include installing a new switchhouse and replacing all  
13 115 kV and 230 kV breakers at Smith Plant and installing a 28 MVA  
14 transformer bank with two new feeder bays at East Bay Substation. The  
15 utilization of these six substation electricians in plant construction  
16 continued through calendar year 2001. Beginning January 1, 2002, these  
17 substation electricians have returned to their normal maintenance  
18 activities. This explains why the majority of the increase in expense  
19 appears in the test year.

20 In order to adhere to Gulf Power's Substation Maintenance  
21 Program and prevent increased failures of this aging substation  
22 equipment, it is necessary to keep these electricians assigned to  
23 maintenance, thus increasing O & M expenses by \$755,000. Additionally,  
24 we have experienced insulator arching and outages at one of our  
25 distribution substations due to salt contamination. In order to prevent

1 reoccurrence of this, approximately \$60,000 will be expended each year  
2 to clean the insulators in this substation. The combination of these factors  
3 accounts for the additional \$815,000 of O & M expenses needed to  
4 properly maintain our substation equipment, reduce failures and maintain  
5 reliable service to our customers. The amount requested for the test year  
6 is representative of future periods when new rates will be in effect.

7

8 Q. Please explain why Gulf Power's tree trim expense should not be reduced  
9 from \$4,122,705 to \$2,743,625 in the test year as suggested by  
10 Mr. Schultz.

11 A. As stated in my direct testimony, Gulf Power's attempts to control costs in  
12 this area have resulted in an increased dependency on less efficient and  
13 less effective spot trim. As shown in Gulf's response to Citizens'  
14 Interrogatory No. 33, the number of miles of line trimmed in our program  
15 has declined from 889 miles trimmed in 1998 to 241 miles trimmed in  
16 2000. This has led to an increase in the annual minutes of interruption to  
17 our customers for tree related outages from 1,557,000 in 1997 to  
18 5,988,000 in 2000. It is not appropriate to use the five-year historical  
19 average cost because it is not representative of future periods. The  
20 historical average does not take into account these factors of the  
21 increasing tree related outage time and a greater dependency on less  
22 effective spot trim.

23 The increase in outages and reduction in miles of cycle trim  
24 supports the fact that Gulf cannot maintain an adequate cycle of trim at  
25 the previous level of expenses. The distribution tree trim request of

1           \$4,122,705 for the test year and corresponding amounts in the future  
2           periods will allow Gulf Power to transition to a more effective cycle and  
3           reduce tree related outages.

4  
5       Q.    Is the \$526,726 adjustment to pole inspections proposed by Mr. Schultz  
6           appropriate?

7       A.    No.  Once again, the historical five-year average is not an appropriate  
8           basis for establishing the budget since it is not representative of future  
9           periods, particularly since Gulf Power did not make expenditures on this  
10          activity in two of the five previous years.  Basing the test year expenses  
11          totally on five years of historical cost with an inflation factor also does not  
12          take into consideration other factors that could affect cost, such as the  
13          age of the poles being inspected.  In this instance, all of the poles involved  
14          in this program are now over 20 years old.

15                 Gulf's distribution poles are located in the worst of five wood decay  
16                 zones (zone 5 "Severe") as defined in the American Wood Preservers  
17                 Association Standard C-4-99.  Due to the condition of this aging pole  
18                 plant, Gulf Power has determined that the remaining 60,000 Creosote and  
19                 Penta poles will be inspected and, as necessary, treated, repaired or  
20                 replaced over the next five years.  This will allow more of the remaining  
21                 poles to be treated rather than waiting until more expensive repairs are  
22                 required.  The amount requested by Gulf Power for the test year is  
23                 representative of future periods when new rates will be in effect.

24  
25

1 Q. Would you please address Mr. Schultz's contention that the street and  
2 outdoor light request of \$1,438,000 is excessive?

3 A. Yes. The-five year historical average cost is not representative of the test  
4 year expenses because this five-year period included only one area where  
5 group street light rebulbing and maintenance was conducted. During  
6 group rebulbing, all the bulbs and photocells are replaced and since street  
7 lights are closed units, the globes are cleaned or replaced as necessary.  
8 The average cost associated with accomplishing group street light  
9 rebulbing is estimated at approximately \$38 per unit based on current  
10 cost, which greatly exceeds the historical five year average cost of \$7.86  
11 per unit as stated by Mr. Schultz in his testimony on page 30,  
12 lines 15 – 16. The test year expenses include \$425,600 for group street  
13 light rebulbing of 11,200 lights. When this is added to the ongoing  
14 maintenance of street and outdoor lights, the \$1,438,000 for the test year  
15 is justified. The amount requested in the test year related to street and  
16 outdoor lights is appropriate and is representative of future periods when  
17 new rates will be in effect.

18  
19 Q. Please address Mr. Schultz's concern that there is a lack of justification  
20 for the significant increase in the employee complement during the test  
21 year.

22 A. Mr. Saxon has addressed Mr. Schultz's concern with an overview of the  
23 positions reflected in the test year. In my area of responsibility, there are  
24 11 additional positions in the test year budget. The addition of 11  
25 positions will be filled as a class of line and substation technician

1 apprentices for Gulf's earned progression program during the test year.  
2 This class and subsequent ones are a proactive step towards preparing  
3 for the number of employees eligible for job changes such as promotions  
4 and retirements. This class of apprentices addresses a workforce issue  
5 and will also ensure a diverse competitive workforce for the future.

6  
7 Q. You stated earlier that you would address statements in Mr. Breman's  
8 testimony. Do you agree with the proposal in Mr. Breman's testimony  
9 regarding a program of potential penalties to provide an incentive to  
10 maintain reliable service?

11 A. No. As stated on pages 12-14 of my direct testimony, Gulf is committed  
12 to providing superior service to our customers. Gulf has previously  
13 utilized the System Average Interruption Duration Index (SAIDI), the  
14 Public Confidence Surveys and Florida Public Service Commission  
15 (FPSC) infractions results as indicators of providing reliable electric  
16 service which meets our customer expectations.

17 Gulf has not previously utilized the Customer Experiencing More  
18 than Five Interruptions (CEMI5) indicator as a measure of reliability. As I  
19 will explain later in my testimony, I do not think it is appropriate to base  
20 refunds to customers on this one indicator, which could be greatly affected  
21 by weather and other conditions beyond the electric utility's control.  
22 Adopting this procedure would establish a penalty to the Company for not  
23 meeting this proposed standard without a reward for exceeding the  
24 standard. This is inappropriate, particularly when Gulf's customers are  
25 very positive about the quality and reliability of service they are receiving,

1 and Mr. Breman concludes in his testimony on page 2, line 23 that,  
2 "Overall, Gulf Power Company's distribution reliability is good."

3

4 Q. Can you provide examples that demonstrate that your Company is  
5 maintaining or improving distribution reliability?

6 A. Yes. In 2001, SAIDI was reduced to 78.55 minutes, which represents a  
7 19 percent reduction from the previous year. In addition, the Public  
8 Confidence Survey regarding "Providing Reliable Service" remained high  
9 at 93 percent favorable response and the FPSC infractions were zero.

10

11 Q. Would you comment on Mr. Breman's statement on page 5, lines 4-6  
12 regarding various locations where tree conditions were not in compliance  
13 with the National Electric Safety Code (NESC)?

14 A. Yes. The NESC Part 2 Section 21.218 A. 1. states that "Trees that may  
15 interfere with ungrounded supply conductors should be trimmed or  
16 removed." Gulf's distribution tree trim program is designed to comply with  
17 this requirement. As stated on page 5 of my direct testimony, Gulf's  
18 attempts to control cost have resulted in an increased dependence on  
19 spot trim. Gulf is aware that it must increase its expenses for distribution  
20 tree trim to achieve a more effective tree trim cycle. The distribution tree  
21 trim budget of \$4,123,000 in the test year and corresponding amounts in  
22 forecast years will allow this to occur.

23

24 Q. Is the estimate used by Mr. Breman of 4 percent for CEMI5 in the year  
25 2000 accurate for Gulf Power?

1 A. No. The correct value for CEMI5 for Gulf in 2000 is 2.1 percent. An error  
2 was made in Gulf's original calculation for CEMI5 provided in our  
3 response to an April 2, 2001 PSC request. In that response, Gulf utilized  
4 customers that experienced five or more interruptions instead of six or  
5 more interruptions, which caused the CEMI5 indicator to be overstated.  
6 Schedule 6 to my rebuttal exhibit provides Gulf's original calculation and  
7 the correct calculation of CEMI5.

8

9 Q. What problems do you foresee with the two fundamental concepts for the  
10 programs proposed in Mr. Breman's testimony?

11 A. It is only reasonable to expect that customers would experience some  
12 variances in reliability over time. Reliability is a function of many variables  
13 that are under various degrees of the electric utility's control, and to  
14 initiate refunds based on a level established at one point in time does not  
15 take into account these natural variances.

16 Accountability comes willingly because reliability is integral to our  
17 business success. Quality of service is a key component of customer  
18 satisfaction and Gulf has clearly demonstrated a high commitment to  
19 satisfying its customers. Gulf has focused on providing reliable service  
20 because it is in our customers' best interest and it is integral to our  
21 business goals.

22 As documented on page 15 of my direct testimony, Gulf's  
23 performance in response to trouble events is among the best in the  
24 industry. In the residential segment of the customer value surveys, Gulf  
25 ranks second in handling emergencies and third in responding quickly to

1 problems. In the general business segment, Gulf ranks third in restoring  
2 service quickly after an outage. It has been over three and a half years  
3 since we have had a reliability related infraction. This should provide  
4 additional assurance that Gulf will continue to maintain distribution  
5 reliability.

6  
7 Q. Do you have any other concerns with Mr. Breman's proposal?

8 A. Yes. The method of how the penalty will be derived and the mechanics of  
9 how to determine refunds to individual customers are unclear. Depending  
10 on the structure of the program, the administrative costs could be  
11 substantial and these dollars can be better utilized in improving the  
12 distribution system.

13  
14 Q. Has there been an effort to standardize reliability reporting requirements  
15 among investor owned electric utilities?

16 A. Yes. As the Commission is aware, the utilities have been working with the  
17 FPSC Staff to provide the Commission with information necessary to  
18 enhance the understanding and analysis of various reliability issues, such  
19 as managing, tracking and reporting and have also provided a proposed  
20 revision to Rules 25-6.044 and 25-6.0455, Florida Administrative Code.  
21 The collaborative efforts of the utilities and the FPSC Staff have fostered  
22 significant improvements in statewide reliability as indicated in the utilities'  
23 response filed in Docket No. 011351-EI. Many of the concepts and  
24 reporting requirements outlined in the FPSC Staff's proposed rules will  
25 serve to ensure a high level of reliability for customers of Florida's investor

1 owned electric utilities.

2 The utilities' response to proposed rule changes provides for  
3 appropriate reporting requirements. These can lead to the development  
4 of fair standards and the appropriate mechanisms to ensure cost-effective  
5 reliability targets are developed. In addition, all utilities can implement the  
6 proposed rule changes without significant modifications to existing  
7 systems and without incurring additional on-going annual costs.

8

9 Q. Do you agree that Mr. Breman's proposed standard of 2 percent CEMI5 is  
10 appropriate?

11 A. No. Gulf does not have experience in dealing with this indicator and it is  
12 not clear how it will vary over time due to the effects of weather and other  
13 uncontrollable factors. To utilize the proposed standard of 2 percent to  
14 initiate penalties and to use one single indicator of reliability is not  
15 appropriate.

16

17 Q. Please summarize your testimony.

18 A. Gulf Power Company's management philosophy is to provide superior  
19 customer service and high reliability to our customers, keep its rates low,  
20 and meet the needs of its shareholders. As stated by Mr. Saxon in his  
21 direct testimony, the Company utilizes a budget review process to ensure  
22 that all projects we undertake are prudent, reasonable, and cost-effective.  
23 The requested level of \$33,048,000 in distribution O & M expenses in the  
24 test year, \$95,413,000 in distribution construction expenditures and  
25 \$7,700,000 for general plant expenditures in my area of responsibility for

1 the period from January 2001 through the end of the test year are  
2 reasonable, prudent, and necessary for Gulf to continue to maintain  
3 reliable services and meet the demand due to our customer growth.

4 Gulf takes great pride in being ranked at the very top of our  
5 industry in delivering value to our customers. The disallowances  
6 determined by Mr. Schultz's methodology would negatively impact Gulf's  
7 ability to meet the reliability needs of our customers. Gulf cannot maintain  
8 adequate programs at the previous levels of expenditures. Mr. Schultz's  
9 adjustments of \$2,747,028 do not take into account the Company's efforts  
10 to effectively manage dynamic situations, implement new programs and  
11 maintain aging plant. Today's customers are becoming more  
12 sophisticated in their use of technology and require a higher level of  
13 reliability, and are thus becoming more demanding in what they expect  
14 from their electric utility. It is imperative that we continue to take steps to  
15 maintain the integrity of our electrical system and our responsiveness to  
16 service interruptions when they occur. The Company has exercised  
17 careful stewardship of its O & M and capital costs over the years,  
18 expending resources when reasonable and cost-effective to maintain  
19 acceptable levels of system reliability.

20 As I stated earlier, Gulf's customers are very positive about the  
21 reliability of service they are receiving as indicated in several surveys and  
22 indices. Gulf does not agree with the use of a single reliability indicator  
23 and method as proposed in Mr. Breman's testimony. The existing  
24 rulemaking Docket No. 011351-EI is a more appropriate forum for  
25 introducing his proposal than introducing it during a rate case. The

1           proposal in Mr. Breman's testimony is not an incentive; it is a financial  
2           penalty to the Company. Gulf supports the recommended rule changes  
3           as submitted to the FPSC by the Committee of Florida investor owned  
4           electric utilities as filed in Docket No. 011351-EI. In addition, this  
5           committee, along with FPSC Staff, should continue with the current  
6           process underway.

7

8    Q.    Mr. Fisher does this conclude your testimony?

9    A.    Yes.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. STONE:

2 Q Mr. Fisher, you have one exhibit attached to your  
3 rebuttal testimony that consists of six schedules; is that  
4 correct?

5 A That is correct.

6 Q Do you have any changes to your exhibits?

7 A No, I do not.

8 MR. STONE: We ask that his exhibit, FMF-2 be  
9 identified for the record.

10 CHAIRMAN JABER: FMF-2 will be Exhibit 52.

11 BY MR. STONE:

12 Q Mr. Fisher, do you have a summary of your  
13 testimony?

14 A Yes, I do.

15 Good afternoon, commissioners. I have a very brief  
16 summary of my testimony.

17 During the last 12 years, Gulf has encountered  
18 outside factors in implementing new programs and technologies  
19 that have caused us to reallocate resources away from basic  
20 distribution programs, such as tree trimming and substation  
21 maintenance. Thus far, we've been able to accomplish this  
22 without adversely impacting our overall system distribution  
23 reliability; however, we cannot continue to do this. As  
24 stated yesterday, the warning signs are clearly present.  
25 Minutes of interruption due to tree-related outages have

1 increased dramatically, and our substation testing and  
2 maintenance are behind schedule and will fall farther behind.

3 Mr. Schultz's analysis of these and other programs  
4 does not take these factors and warning signs into account.  
5 His proposed methodology of using a five-year inflated  
6 average ignores our customers' need for continued reliable  
7 electric service and would severely limit our ability to meet  
8 their basic expectations. In his testimony, Witness James E.  
9 Breman proposes a penalty to the company based on one piece  
10 of reliability data, CEMI5. This is proposed even in light  
11 of his testimony that Gulf's overall reliability is good.  
12 Our average customer minutes of interruption for the year  
13 2001 of 78.55 is well below the last published national  
14 average.

15 I believe that it is inappropriate to base a  
16 penalty or reward on such a narrow, limited indicator. The  
17 emphasis on a financial penalty for such a narrow measurement  
18 could result in undue administrative expenses, dollars that  
19 could be better used to improve the distribution system, and  
20 it could cause focus to shift away from the more broad  
21 effective and recognized measures. Thank you very much.

22 MR. STONE: Mr. Fisher is available for cross  
23 examination.

24 MR. ERICKSON: No questions.

25 MR. GROSS: No questions.

1 MR. PERRY: No questions.

2 EXAMINATION

3 BY MR. BURGESS:

4 Q Mr. Fisher, if I could direct you to Page 3 of your  
5 rebuttal testimony, please?

6 A Yes, sir.

7 Q And beginning on Line 17 you begin addressing  
8 certain dynamic, let's say, adhoc circumstances that Gulf  
9 encounters and has to expend resources to deal with; is that  
10 correct?

11 A Yes, sir, it is.

12 Q And one is the Y2K. You say that was the  
13 preparation necessary for the transition to Y2K?

14 A Yes, that is correct.

15 Q Can you tell me any idea of the costs associated  
16 with that, the revenues expended? Do you have any notion as  
17 to the costs that were encountered by Gulf in dealing with  
18 that transition?

19 MR. STONE: Commissioner Jaber, may we approach the  
20 bench?

21 CHAIRMAN JABER: Is it information that might be  
22 confidential?

23 MR. STONE: Yes.

24 MR. BURGESS: Oh, okay. All right. I don't need  
25 that. I apologize. I did not realize.

1 BY MR. BURGESS:

2 Q And don't hesitate to either break in or, Mr.  
3 Fisher, let me know that.

4 A Thank you, Mr. Burgess.

5 CHAIRMAN JABER: Hang on. Let me give some  
6 direction here.

7 Mr. Fisher, if any answer requires or could get  
8 into confidential information, I'm going to leave it up  
9 to you to point that out to me before answering.

10 WITNESS FISHER: Thank you, Madam Chairman, I will.

11 MR. BURGESS: Thank you.

12 BY MR. BURGESS:

13 Q Mr. Fisher, can you tell me, again without  
14 violating any confidentiality issues, when the pattern of  
15 expenditures for this were the most prominent?

16 A Probably the greatest example is the Y2K example  
17 because it lasted from 1996 through the first quarter of  
18 2000. That would probably be the greatest example.

19 Q Okay.

20 A And then of course the subsequent 9/11 events of  
21 last year is another example.

22 Q All right. And then with regard to the  
23 anti-terrorist steps, security steps that the company is  
24 dealing with, this is something that the company has asked  
25 for as a separate amount over and above the initial filing;

1 is that correct?

2 A That's correct.

3 Q All right. So when we see at the bottom of -- I'm  
4 sorry, let me take you then to Page 5 of your testimony,  
5 where, I think, you continue speaking of this, and you  
6 indicate that the proposed adjustments of Mr. Schultz -- I'm  
7 sorry, on Line 3, that the proposed adjustments of Mr.  
8 Schultz do not take into account the company's efforts to  
9 address the situation such as those described above. In  
10 those described above, I only see the two being the Y2K and  
11 the security cost; is that right? So I assume that's what  
12 you're referencing when you talk about the situations  
13 described above?

14 A As examples of the kinds of outside influences that  
15 we have to deal with. Also, in the year 2001, we have  
16 expended expense dollars that we have not sought recovery of  
17 for the terrorist attacks.

18 Q Now let's break them down. With regard to Y2K,  
19 given your statement that the -- most of the money was spent  
20 during the 1996 to 2000 range, wouldn't you agree that Mr.  
21 Schultz's adjustments, based on the 1996 to 2000 range, in  
22 fact, do take into account the Y2K specifically?

23 A Not in terms of looking at the distribution budget  
24 and maybe the other functional budgets where those funds  
25 would have been reallocated from to fund the Y2K effort.

1 Q I'm sorry, you're going to have to explain to me.  
2 Are you saying that the specific adjustments -- you're not  
3 complaining about the years 1996 to the years 2000 being used  
4 generally, are you, as not taking into account the Y2K  
5 expenditures?

6 A I'm a little unclear on your question, Mr. Burgess.

7 Q All right. I'm trying to --

8 COMMISSIONER DEASON: Let me see if I can help, and  
9 I'm only trying to help. I think what the witness is  
10 saying is that his budget was smaller for those years  
11 because those resources had to be redirected elsewhere.

12 MR. BURGESS: That's what I'm trying to get to.

13 COMMISSIONER DEASON: Oh, okay.

14 MR. BURGESS: I'm trying to find out what he is  
15 saying with regard to that.

16 BY MR. BURGESS:

17 Q Are you saying that the years 1996 to 2000 are  
18 unrepresentative of the effects of Y2K?

19 A No, they are not unrepresentative of the Y2K  
20 effort.

21 Q Now with regard to the anti -- with regard to the  
22 security efforts, did Mr. Schultz make any adjustments to  
23 remove the costs associated with that?

24 A No, sir, he did not.

25 Q Okay. So his adjustments would not affect that

1 particular item, dynamic item that Gulf encounters?

2 A No, sir, that's correct. It was there as an  
3 example of the type of situations that come up.

4 Q If I could have you look back to Page 4, your last  
5 sentence on that page says, "You cannot keep robbing Peter to  
6 pay Paul." So does that mean that during the years 1996 to  
7 2000 you were robbing Peter to pay Paul?

8 A That was meant to illustrate what we had discussed  
9 both on direct and rebuttal with respect to taking existing  
10 programs and funding activities that occur outside of the  
11 company's control such as Y2K, also, to improve the menu of  
12 reliability programs that we have by adding such programs as  
13 the pole line inspection program, the cable inspection  
14 program that were new programs. The funding had to come from  
15 someplace, and that's how we chose to do it.

16 Q Mr. Fisher, I'd like to ask you about the silicon  
17 solution injection into the distribution lines that you  
18 describe on Page 6, the cable injection program. What part  
19 did the change in the warranty period play in the decision?  
20 Am I correct in understanding from this that it would not  
21 have been -- you would not have considered the injection  
22 program to be cost beneficial if you had not received an  
23 extension of the warranty period?

24 A We would not have reinstated the cable injection  
25 program had we not received that change in the warranty.

1 During this same period of time, we were experimenting with  
2 new technology in our industry with respect to directional  
3 boring, which is more cost effective than trenching, and it's  
4 less intrusive in existing neighborhoods to replace the  
5 cable. But when we got the 20-year unconditional warranty  
6 from the manufacturer, that, once again, placed cable  
7 injection on a better footing with the other technologies.

8 Q So is that saying if you had not received the  
9 extension of the warranty, that you would not have been  
10 interested, from a cost-benefit basis, in extending the life  
11 of these particular lines?

12 A Using that technology, no, sir, we would not have.

13 Q Let me ask you a couple of questions about -- on  
14 Page 8 of your testimony where you speak of the tree-trim  
15 expense. And as I understand it, you are -- the company is  
16 going to shift its emphasis from spot trimming to a more  
17 deliberate ongoing basis; is that right? Does that about  
18 capture the notion that you're changing to?

19 A Yes, sir, that's correct. The reason being is that  
20 the spot trimming is not as efficient as a routine preventive  
21 maintenance cycle trim. In the cost per mile, utilizing that  
22 technology, while you hold down total cost, the cost per mile  
23 is greater than what it should be.

24 Q Well, let me ask you bluntly. You've been serving  
25 north Florida for a long time. Is this something that you've

1 just discovered?

2 A No, sir, after the last rate case, we were spending  
3 at those levels or above those levels on the benchmark for  
4 the first five years. And then as we began to deal with  
5 things like Y2K and institute new technologies and programs,  
6 about during that same period of time, in order to fund those  
7 things and to fund the new technologies, we made the decision  
8 to move towards spot trimming; or as some of our people call  
9 it, just-in-time-trimming.

10 Q So you switched to that in order to have funds to  
11 be diverted elsewhere; is that -- do I understand that  
12 correctly?

13 A We utilized funds from that program in order to  
14 help fund programs such as the Y2K effort, such as the pole  
15 line inspection program, such as trouble call management  
16 system, such as ARMS and those kind of programs, to add to  
17 our menu of reliability programs.

18 Q And what is the annual difference in cost between  
19 the spot tree trimming treatment that you've been engaging in  
20 and the new program that you intend to embark on?

21 A The difference would be approximately 1.9 million  
22 dollars comparing 2001 actuals to the test-year budget.

23 Q And am I not correct that for the last several  
24 years Gulf has been engaged in a stipulation involving  
25 revenue sharing with the customers pursuant to agreements

1 that have been approved by the Commission?

2 A That is correct.

3 Q Well, what prevented you from simply continuing to,  
4 or embarking on the more appropriate tree-trimming program  
5 and at the same time dealing with the Y2K problems? In other  
6 words, why not -- why did the company not continue to, or why  
7 did the company not embark on the plan that would admittedly  
8 cost it an additional 1.9 million during the period of time  
9 at which it was engaging in stipulations for potential  
10 refunds above certain revenue levels?

11 A The reason would be is we were trying to fund new  
12 programs and activities that would add to our menu of  
13 distribution reliability programs during that same period of  
14 time, plus we were trying to hold our rates down and delay  
15 the need for filing for a rate increase.

16 Q But if in that period of time you were engaged in  
17 refunds anyway, then doesn't that suggest that you had enough  
18 revenues to fund the requirements at the time without the  
19 need for a rate increase?

20 MR. STONE: Commissioner, if I may, Mr. Burgess  
21 seems to be confusing revenues with earnings. And the  
22 type of stipulation we're operating under is simply a  
23 refund, revenues above a stipulated amount. It does not  
24 take into account the company's earnings.

25 MR. BURGESS: Commissioners, I appreciate Mr.

1 Stone's testimony in this case, but since it's not an  
2 objection to the question, I don't quite know how to  
3 respond. But, no, I'm not confused between revenues and  
4 earnings.

5 CHAIRMAN JABER: Okay. Well, now you both have had  
6 an exchange.

7 MR. STONE: Well, I'm sorry. I did mean to preface  
8 my comments with an objection.

9 CHAIRMAN JABER: Which would be what?

10 MR. STONE: That it's beyond the scope of his  
11 rebuttal testimony.

12 CHAIRMAN JABER: Okay. The objection is it's  
13 beyond the scope, Mr. Burgess.

14 MR. BURGESS: And his rebuttal testimony is about  
15 defending the tree-trimming expenditures and defending  
16 why the program was not engaged in earlier.

17 CHAIRMAN JABER: Okay. I'll allow the question.  
18 Mr. Burgess, to make sure the record is absolutely  
19 clear, why don't you go back and ask the question and  
20 clarify whether you're talking about revenues or  
21 earnings.

22 BY MR. BURGESS:

23 Q Is it your understanding that the company chose to  
24 agree to enter into a stipulation whereby refunds might be  
25 required based on revenues?

1           A     Yes, sir, that's correct.

2           Q     Is it your understanding that upon doing that the  
3     company then could obviate its requirement that would  
4     otherwise be imposed to serve its customers to the greatest  
5     extent possible?

6           A     Would you mind restating that for me, please?

7           Q     Is it your understanding that in agreeing to  
8     refunds based on revenues, that that allowed the company to  
9     avoid obligations it would otherwise have for service to its  
10    customers?

11          A     I'm really -- I don't understand it, Mr. Burgess.  
12    I don't understand what you're trying to --

13                COMMISSIONER DEASON: Let me ask the question. Did  
14     the company make a decision to cut back on tree trimming  
15     to increase your earnings, realizing that you were not  
16     subject to an earnings cap any more, just a revenue  
17     sharing mechanism?

18                WITNESS FISHER: What we were trying to do is to  
19     manage the entire company throughout this period of time  
20     in order to fund all the activities that I have listed  
21     and to meet the needs of our customers and our company  
22     and our employees and our shareholders. That's what we  
23     were trying to do during this period of time.

24                CHAIRMAN JABER: Mr. Fisher, I don't think that  
25     answers the question.

1           WITNESS FISHER: I'm really trying to answer the  
2 question. Maybe I'm not the best --

3           CHAIRMAN JABER: I think the way that Commissioner  
4 Deason phrased it was really clear.

5           WITNESS FISHER: I think that we were trying to  
6 meet the needs of all of our stakeholders, including our  
7 shareholders. Is that responsive to your question,  
8 Commissioner?

9           COMMISSIONER DEASON: It's probably as responsive  
10 as I'm going to get, and no disrespect to you. I'll  
11 just be real up front with you. It appears that there  
12 was some decision by someone at management to make a  
13 decision to cut back on certain expense categories, and  
14 when you cut back in expense you're going to increase  
15 earnings. And apparently this was during a period of  
16 time where your earnings were not a limiting factor, but  
17 it was just the revenues were the limiting factor, and I  
18 just -- maybe it goes beyond the scope. And if you have  
19 any information about that, I'd like for you to share it  
20 with me. And if you don't, just say you're not aware of  
21 that.

22           WITNESS FISHER: I'm not the correct witness.

23           CHAIRMAN JABER: Who would be?

24           WITNESS FISHER: Mr. Labrato would be better  
25 prepared to answer that.

1 MR. BURGESS: Thank you. Thank you, Mr. Fisher.  
2 That's all I have.

3 CHAIRMAN JABER: Staff?

4 MR. HARRIS: Yes, commissioner -- or Chairman,  
5 thank you.

6 EXAMINATION

7 BY MR. HARRIS:

8 Q The first area I wanted to discuss with you was the  
9 outdoor and street lighting situation, which I believe you  
10 begin in your rebuttal testimony on Page 10 or so. And,  
11 specifically, I'm confused about the group re-lamping  
12 program, and I'm hoping you can explain it to me. And,  
13 specifically, I see on pages -- beginning on Page 8 -- I mean  
14 Line 8 of Page 10, that the average cost associated with  
15 accomplishing group street re-bulbing is estimated at  
16 approximately 38 dollars per unit which greatly exceeds the  
17 historical five-year average cost of \$7.86 per unit. So I'm  
18 hoping you can explain for me why a program that costs 38  
19 dollars per unit is more effective than one that historically  
20 has cost \$7.86 per unit?

21 A All right, sir. In total, the street light  
22 maintenance program includes all the fixtures that we have.  
23 They're different type fixtures. They're what we call  
24 open-bottom fixtures, which are -- you know, there's no  
25 bottom on the luminary that surrounds the bulb, and so it

1 doesn't get dirty under there and those kinds of things, so  
2 that doesn't have to be taken care of.

3           On street lights, street lights are closed  
4 fixtures, and in order to do a proper job of maintaining  
5 them, you have to do a lot more to them than you would an  
6 open-bottom fixture, such as, open the luminary up, clean the  
7 luminary, change the bulb, replace the photo cell, those kind  
8 of activities. We do those in a group fashion with the  
9 municipalities in our service territory. We will identify a  
10 municipality, and we will go in and group re-lamp that entire  
11 municipality. That by itself is 38 dollars per unit. That  
12 is cheaper than going to those units one at the time when  
13 they fail, and so that's the difference between the two  
14 programs.

15           Q     So you're saying that to do a closed unit is 38  
16 dollars per unit, to do an open unit is seven dollars and --

17           A     It's less than the 38 dollars, yes.

18           Q     It's less than 38. Well, where does the historical  
19 five-year average cost of \$7.86 come from?

20           A     That's lumping all of those fixtures together, and  
21 there was limited group re-lamping in the last five years.

22           Q     But if you -- if the historical average lumps all  
23 of the different types together, and that's \$7.86, and in  
24 your test year, I presume you're lumping all of the groups  
25 together as a group re-lamping project and saying that's 38

1 dollars, I still don't understand how the past five-year  
2 average of seven dollars could be so different from the  
3 current test year amount of 38 dollars.

4 (WITNESS REVIEWS DOCUMENTS).

5 CHAIRMAN JABER: Mr. Fisher, I have actually been  
6 looking for a good place to take a lunch break. Do you  
7 need more time to look at that?

8 WITNESS FISHER: Yes.

9 CHAIRMAN JABER: Okay. We're going to take --

10 WITNESS FISHER: Yes.

11 CHAIRMAN JABER: Thank you. Let's come back at  
12 1:45. We'll take a lunch break until 1:45.

13 (WHEREUPON, THE TRANSCRIPT CONTINUES IN SEQUENCE IN  
14 VOLUME 10)

15  
16 \* \* \* \* \*

17  
18  
19  
20  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

STATE OF FLORIDA     )  
COUNTY OF LEON     )

I, NANCY S. METZKE, Certified Shorthand Reporter and Registered Professional Reporter, certify that I was authorized to and did stenographically report the foregoing proceedings and that the transcript is a true and complete record of my stenographic notes.

DATED this 26th day of February, 2002.

  
\_\_\_\_\_  
NANCY S. METZKE, CCR, RPR