

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 990649B-TP


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of
INVESTIGATION INTO PRICING OF
UNBUNDLED NETWORK ELEMENTS
(SPRINT/VERIZON TRACK).

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 5

Pages 676 through 835



PROCEEDINGS: HEARING
BEFORE: CHAIRMAN LILA A. JABER
COMMISSIONER J. TERRY DEASON
COMMISSIONER BRAULIO L. BAEZ
COMMISSIONER MICHAEL A. PALECKI
COMMISSIONER RUDOLPH "RUDY" BRADLEY
DATE: Monday, April 29, 2002
TIME: Commenced at 9:30 a.m.
PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida
REPORTED BY: JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732
APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER - DATE
04908 MAY -7 2002

FPSC-COMMISSION CLERK

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WITNESSES

NAME:

PAGE NO.

DENNIS B. TRIMBLE

Cross Examination by Mr. Fudge	704
Redirect Examination by Ms. Caswell	708

DAVID G. TUCEK

Direct Examination by Mr. Huther	710
Prefiled Direct Testimony Inserted	712
Prefiled Surrebuttal Testimony Inserted	745

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUMBER:

ID. ADMTD.

46, 47
and 48

709

49 DGT-1 and DGT-2

711

50 DGT-3

742

51 Surrebuttal DGT-1 through
DGT-6 (nonconfidential)

744

52 Surrebuttal DGT-5 (confidential)

744

P R O C E E D I N G S

1
2 (Transcript follows in sequence from
3 Volume 4.)

4 CHAIRMAN JABER: Staff, let's get back on the record.
5 During the break the parties were going to talk further about a
6 proposed stipulation.

7 MR. FUDGE: Yes, Commissioner. I believe Ms. Caswell
8 has handed you out what they had agreed to so far, and she will
9 summarize the negotiations that have taken place, I think.

10 CHAIRMAN JABER: Ms. Caswell.

11 MS. CASWELL: Yes. We have agreed, essentially, to
12 what was in the prehearing order as proposed by MCI. We have
13 not agreed on the specifics of the weighting factors to be used
14 and we hope to continue discussions of those after the hearing.
15 But at least for purposes of today, we have got the stipulation
16 as I have written it up and handed it out to you on that half a
17 piece of paper.

18 CHAIRMAN JABER: Okay. Starting with, "the
19 Commission," why don't you read the stipulation for the record.

20 MS. CASWELL: Okay. It would be a stipulation of
21 Issue 2, both Issues 2A and 2B. The parties agree to resolve
22 Issue 2 by means of the following stipulation: The Commission
23 should set deaveraged rates only for UNE loops and UNE
24 subloops, including any combinations that include those UNE
25 loops or subloops. For purposes of this stipulation, UNE loops

1 include only two-wire, four-wire, and DS-1 loops. And UNE
2 subloops include only two-wire and four-wire feeder, two-wire
3 and four-wire distribution, and two-wire and four-wire drop.
4 The wire centers in each deaveraged rate zone will be as
5 indicated on Verizon Exhibit DBT-3.

6 MR. FUDGE: Commissioner, I believe that only covers
7 Issue 2B.

8 CHAIRMAN JABER: Ms. Caswell, do you agree with that
9 clarification?

10 MS. CASWELL: I think it covers some of 2A, too,
11 Jason, because it sets forth the wire centers by zone. But I
12 agree it doesn't fully cover Issue 2A.

13 MR. FUDGE: Okay.

14 CHAIRMAN JABER: Staff, do we need to go ahead and
15 vote on accepting the stipulation?

16 MR. FUDGE: That will be fine.

17 CHAIRMAN JABER: Ms. Caswell, this was an agreement
18 among all of the parties in this proceeding?

19 MS. CASWELL: I believe so. I think Z-Tel may still
20 be considering the stipulation, but I haven't heard any
21 objections. I know that Covad told me this morning it was fine
22 with them. We have been discussing it with AT&T, MCI, and FDN
23 over the break. Mr. Perry?

24 MR. PERRY: I think we are okay with the stipulation.
25 Well, actually I would like a second to check with my client,

1 if I could.

2 CHAIRMAN JABER: Mr. Fons, you have been trying to
3 say something?

4 MR. FONS: No, no. Whenever it is convenient for me
5 to speak to it before you vote on it, I would like to do that.

6 CHAIRMAN JABER: Okay. Well, this would be a good
7 time.

8 MR. FONS: Okay. While it is true that this does not
9 fully address a methodology, it does implicate a methodology.
10 And the methodology that is implicated is different from the
11 methodology that the Commission established in the BellSouth
12 proceeding, which was to some degree based upon a methodology
13 that Sprint had proffered. And that is the way of designing
14 what the zones are and what number of wire centers are in that
15 zone.

16 What Sprint is concerned about is that if you accept
17 this, you have got another methodology that is going to be
18 floating around in the State of Florida for establishing rate
19 groups, rate zones for pricing of UNE facilities. And Sprint
20 is in the awkward position or the enviable position, depending
21 upon your point of view, of being both an ILEC and a CLEC. And
22 this particular methodology may result in rates that are higher
23 for particular zones than for other zones that would have taken
24 place if a different methodology had been used.

25 Consequently in one case, Sprint as the ILEC, will be

1 selling zones using a particular methodology which we have
2 proposed which is identical to the methodology that you imposed
3 upon BellSouth, which was somewhat of a hybrid of the Sprint
4 methodology. But, then, Sprint as the ILEC, will have to turn
5 around and buy facilities in the Verizon area, for example, and
6 will wind up having to pay a different rate for virtually the
7 same kind of service and potentially a higher rate.

8 So, we are very concerned that if you approve this
9 that Sprint will somehow be sandwiched. And what Sprint would
10 propose is that if you approve this particular stipulation that
11 Sprint be allowed to choose as between the methodology it is
12 currently proposing and this methodology depending upon the
13 circumstances.

14 CHAIRMAN JABER: Depending upon the circumstances?

15 MR. FONS: Yes.

16 CHAIRMAN JABER: For when you buy or when you sell?

17 MR. FONS: We don't know at this point, because this
18 particular stipulation isn't fleshed out enough for us to know
19 precisely what is going to happen. But we know that because of
20 certain language in here that a goodly portion of a methodology
21 is outlined, and we have a good inkling that that methodology
22 will result in higher rates in Zone 1, for example. There may
23 be more access lines in that zone. But nonetheless it will
24 result in a higher rate. So we want to have the ability to --
25 I don't like to do this -- to pick and choose which one we

1 think is best for Sprint Florida.

2 COMMISSIONER BRADLEY: One question.

3 CHAIRMAN JABER: Hang on, Commissioner Bradley. The
4 desired effect for Sprint Florida, help me understand for when
5 you buy or for when you sell.

6 MR. FONS: For when we are selling.

7 CHAIRMAN JABER: Okay. Commissioner Bradley.

8 COMMISSIONER BRADLEY: Does Verizon also have the
9 same concern in that Verizon also is an ILEC and an ALEC?

10 CHAIRMAN JABER: I would -- well, let's ask it of
11 Verizon. I am assuming they have evaluated all of those
12 concerns since this is their proposed stipulation.

13 MS. CASWELL: Yes. And we are willing to stipulate
14 to this without any possibility of a choice between the two.

15 COMMISSIONER BRADLEY: My question is does Verizon --
16 for the record, does Verizon also serve as an ILEC as well as
17 an ALEC in some instances in the state?

18 MS. CASWELL: We have discontinued our CLEC service,
19 I believe. Not totally? But we do have some CLEC activity
20 remaining. So we do have, apparently, a CLEC certificate still
21 active.

22 CHAIRMAN JABER: Ms. Caswell, it doesn't look like
23 you have all parties agreeing to the stipulation just yet. You
24 have got KMC saying they need to check. Have you done that
25 yet?

1 MR. PERRY: Yes, Chairman Jaber, and Z-Tel is who I
2 am appearing for today, and I did check with my client and we
3 are on board with the stipulation.

4 CHAIRMAN JABER: So Z-Tel is okay?

5 MR. PERRY: Yes.

6 MR. WEBER: And, Chairman Jaber, Covad has concurred
7 with the stipulation, as well.

8 CHAIRMAN JABER: Okay.

9 MR. FEIL: Commissioner, on behalf of FDN, I wanted
10 to address what Mr. Fons said. As a participant of the ALEC
11 coalition here with AT&T and MCI, we are in support of that
12 which has been stipulated thus far relative to Verizon.
13 Relative to Sprint, we have stipulated Sprint's proposed
14 methodology into the record. There has been no methodology
15 stipulated yet as to Verizon. We don't know what the
16 methodology would result with regard to Sprint rates or zones
17 or anything along those lines, so I can't sit here and say that
18 I would be amenable to whatever it is that Mr. Fons wants to do
19 relative to picking and choosing.

20 CHAIRMAN JABER: Yes. Commissioners, I would like
21 your feedback here. But, Mr. Fons, just at first blush I have
22 to tell you I don't know really what to do with your comment,
23 either, because we have moved your testimony and your exhibits
24 into the record and that record now is done. This is a
25 proposed stipulation that Verizon is offering as it relates to

1 their UNE methodology, and you are a party to that proceeding,
2 as well. So I think I need to hear from you if you are on
3 board with this stipulation. I will ask the Commissioners to
4 vote on it. If you are not, then we really don't have a
5 stipulation among all the parties, so.

6 MR. FONS: Well, I don't -- Sprint Florida is
7 appearing only as an ILEC in this proceeding. So to the
8 extent -- I am not a party to the Verizon proceeding, or Sprint
9 Florida is not, or Sprint is not a participant in the Verizon
10 proceeding, so I would not want to stand in the way of the
11 Commission either accepting or rejecting the stipulation. But
12 I just wanted to point that out and would like to have some --
13 if you accept the stipulation, then we would like to have the
14 opportunity to use that particular methodology in the event it
15 produces rates that are different from the rates that we would
16 produce under the methodology ordered in the BellSouth
17 proceeding.

18 CHAIRMAN JABER: Okay. And before we open it up for
19 Commissioners' questions is there anything that would preclude
20 you from raising that request in your brief?

21 MR. FONS: Only if someone were to say, you know, the
22 decision has been made that you can't because it was in a
23 different proceeding. And what I'm asking for is that the
24 Commission leave that open that we can address it in our brief.

25 CHAIRMAN JABER: And where would the point of entry

1 be to all the parties in terms of how you would pick and
2 choose? Where would the other parties' point of entry be in
3 terms of allowing you to pick and choose which methodology
4 should be used?

5 MR. FONS: That is an interesting question, Madam
6 Chairman. I had not thought through that. I guess at some
7 point we would have to elect, but we don't know yet. See, the
8 problem is this isn't fleshed out enough so that if you do
9 approve something, there is still other things that can be
10 taking place off the record after even the Verizon proceeding
11 is closed that Sprint would not even know about.

12 COMMISSIONER DEASON: Let me ask a question.

13 CHAIRMAN JABER: Go ahead, Commissioner.

14 COMMISSIONER DEASON: I am a little uncomfortable
15 with the picking and choosing. It seems to me that we need to
16 determine what is the appropriate methodology to apply to
17 Sprint and that should be the rules of the game. And you
18 really shouldn't be allowed, depending on what happens with
19 another company in another docket, to change what is best
20 prescribed for you and your company -- for Sprint.

21 MR. FONS: Well, I understand that. The position is,
22 Sprint's position has been throughout all of the proceedings on
23 UNEs, if you are going to come up with a methodology, you come
24 up with one standard methodology that applies to all the ILECs.
25 We are about to have happen here a different methodology being

1 accepted by this Commission based upon the stipulation of the
2 parties which is different than the one that the Commission
3 ordered in the BellSouth proceeding.

4 If we felt that we could have multiple methodologies,
5 then Sprint in its case would have proposed, again, what it has
6 proposed all along and that is numerous zones rather than just
7 three zones. And we had proposed that, and when the cases were
8 altogether at the end of the day on the BellSouth proceeding we
9 were let out of that for another day, but the Commission
10 grafted upon the BellSouth methodology. Or actually you
11 rejected the BellSouth methodology and accepted the hybrid of
12 the Sprint methodology. That was the first that that had
13 occurred. We assumed, based upon the order in the BellSouth
14 case, that this was the methodology that the Commission was
15 going to adhere to throughout these proceedings. Now it
16 appears that you are given an opportunity to have a methodology
17 that is different from that.

18 COMMISSIONER DEASON: Madam Chairman, are we going to
19 hear from staff as to whether they think that we need to have
20 one methodology applied to all ILECs or whether it is
21 advisable, based upon the stipulation, to have different
22 methodologies?

23 CHAIRMAN JABER: I think we should take your question
24 as a request to staff. Any feedback there, staff?

25 COMMISSIONER DEASON: And if so, is now the

1 appropriate time or should this be something -- I guess my
2 concern, it seems like it may be premature to act on a
3 stipulation right now.

4 MR. FUDGE: Commissioners, I think what we could do
5 is go forward with just having it as a proposed stipulation and
6 then if the parties are able to finally work out an agreement,
7 and then if Sprint were able to work out the same agreement in
8 their proceedings, the same stipulation, then in the
9 recommendation staff would address whether it would be
10 appropriate to apply uniform deaveraging or to have different
11 methodologies apply to all the ILECs.

12 COMMISSIONER PALECKI: Mr. Fudge, was staff a party
13 to the stipulation?

14 MR. FUDGE: We are aware of it. I think we are okay
15 with what Verizon has proposed thus far, but we haven't
16 contemplated how it would affect the other ILECs. We have only
17 looked at it in regards to Verizon.

18 COMMISSIONER PALECKI: Well, I would think that we
19 could vote on the stipulation as it applies to Verizon only and
20 we could take up the issues with Sprint at a later time after a
21 briefing and the entire hearing.

22 COMMISSIONER DEASON: Well, let me tell you my
23 concern, though.

24 CHAIRMAN JABER: I think I just heard staff say that
25 they haven't even had time to evaluate it with regard to the

1 effect on Verizon, either. But Commissioner Baez has been
2 trying to ask a question, let me take that up first.

3 COMMISSIONER BAEZ: A couple of questions based on
4 what Commissioner Deason had brought up. First of all, and
5 correct me where I'm wrong, but do we have a legal obligation
6 to have one methodology?

7 MR. FUDGE: No, Commissioner.

8 COMMISSIONER BAEZ: So then at least in theory, it
9 probably hasn't worked out that way, but at least in theory
10 this kind of situation is contemplated almost by default. I
11 mean, we can have different methodologies for different ILECs
12 based on a record or however it comes up.

13 MR. FUDGE: Yes. Each decision is based on the
14 independent record before you. But there is the precedential
15 value of the BellSouth proceeding that you also must contend
16 with.

17 COMMISSIONER BAEZ: And another thing, is it possible
18 theoretically now, is it possible for this -- whatever this
19 proposed methodology winds up being, to offer an advantage to
20 CLECs under a Sprint -- in Sprint's case?

21 MR. FUDGE: I think there would be disparity there
22 because Sprint would have its own methodology for deaveraging
23 different zones and Verizon would have its own methodology for
24 deaveraging zones and you would get --

25 COMMISSIONER BAEZ: No, no. I'm saying even in a

1 situation as Mr. Fons suggests that they might -- and what is
2 sound to me, Mr. Fons, is Sprint trying to hold their options
3 open to back out of something that has already been stipulated
4 to. But to the extent that that methodology, however it winds
5 up being fleshed out, becomes a -- I don't mean that in a bad
6 way.

7 MR. FONTS: No, but there was no stipulation with
8 regard to that issue in our proceeding. The parties have taken
9 different positions on our proposal, so it is not stipulated.
10 The only thing that is stipulated has been the testimony going
11 into the record.

12 COMMISSIONER BAEZ: My mistake.

13 MR. FONTS: I understand.

14 COMMISSIONER BAEZ: I apologize. And, I guess, isn't
15 there a chance for this discussion to take place between the
16 parties, you know, leading up to -- leading up to a
17 recommendation? I mean --

18 MR. FEIL: Yes, sir, I believe so. Even though as
19 has been pointed out already relative to Verizon there is not a
20 methodology agreed to yet. If there was a methodology agreed
21 to and Mr. Fons was able to run numbers through the methodology
22 and we could see the results of the methodology, and if it is
23 something that we could stipulate to separately as to Sprint,
24 then we are certainly willing to discuss that. At least FDN
25 is.

1 COMMISSIONER BRADLEY: Madam Chair.

2 CHAIRMAN JABER: Mr. Fons, and that is certainly
3 something you would be willing to provide and work on?

4 MR. FONTS: Absolutely.

5 CHAIRMAN JABER: Commissioner Bradley.

6 COMMISSIONER BRADLEY: Yes, a question for Mr. Fons.
7 Realizing that Sprint wears two hats, an ALEC hat as well as an
8 ILEC hat, is your concern -- it would seem to me that when we
9 get to Sprint that we are going to be dealing with you as an
10 ILEC in this proceeding.

11 MR. FONTS: That is correct.

12 COMMISSIONER BRADLEY: Even through there is a
13 possibility that the outcome of this proceeding also could
14 impact your company when it is serving as an ALEC or a CLEC, is
15 that correct?

16 MR. FONTS: That is correct. I think it works both
17 ways.

18 COMMISSIONER BRADLEY: Is the concern with this
19 stipulation then more related to your ALEC and CLEC dealings or
20 you as an ILEC, because we haven't dealt with you as an ILEC
21 yet?

22 MR. FONTS: I think it applies equally to both. It
23 applies to the ILEC in the sense that Sprint has adhered to a
24 methodology that this Commission has established in the
25 BellSouth proceeding in establishing its rates. We didn't

1 necessarily agree with that methodology to begin with because
2 we had made proposals different from what was proposed in the
3 BellSouth proceeding. The Commission adopted part of it.

4 At the end of the day it will turn out that Sprint
5 Florida will wind up having to charge potentially less for the
6 same service that Verizon is going to be charging for based
7 upon a stipulation which doesn't have the entire methodology in
8 there, but enough of the methodology to be able to determine
9 that it has got a different structure, an entirely different
10 structure.

11 CHAIRMAN JABER: And the problem with that would be?

12 MR. FONS: The problem with that will be is that we
13 don't believe -- we believe that one of the fundamentals of the
14 '96 Act was there should be no discrimination. We think that
15 this discriminates against Sprint Florida if this is adopted as
16 such if the methodology as we understand it can be worked
17 creates the kind of results that we think it will create.

18 COMMISSIONER BRADLEY: Madam Chair.

19 CHAIRMAN JABER: Commissioner Bradley.

20 COMMISSIONER BRADLEY: But my question is this,
21 though, and I'm trying to figure out how to get to it. Would
22 this stipulation, in your opinion, have an adverse impact upon
23 Sprint's dealing as an ALEC or a CLEC?

24 MR. FONS: Both, Commissioner. Both in the sense
25 that when we are charging other CLECs to use our services, we

1 have to charge a lower rate than another ILEC has to charge for
2 the similar service. And then when we operate as a CLEC in
3 that other ILEC's territory, we have to pay more than the CLEC
4 would have to pay us for that same service. So we are harmed
5 in both directions. And the only way to solve that is to come
6 up with one methodology for the whole state.

7 I'm not here opposing the stipulation. All I'm
8 asking is that if you approve this stipulation that Sprint be
9 given the latitude to run the numbers and decide which is in
10 the best interest of ILECs and CLECs.

11 CHAIRMAN JABER: Commissioner Bradley, let me try to
12 summarize this. And, Mr. Fons, you can correct me if I'm
13 wrong, but it appears that the dilemma Mr. Fons has identified
14 for his client is that the testimony that we have already
15 stipulated into the record for Sprint results in a methodology
16 and rates that are perhaps lower than the UNE rates Verizon
17 just agreed to. That's Sprint as an ILEC and Verizon as an
18 ILEC.

19 What Mr. Fons is saying, through their testimony they
20 have agreed to do that, but Sprint as a CLEC will have to pay
21 more to Verizon in UNE rates. Sprint, the ALEC. And I guess
22 my response to that, Mr. Fons, is isn't that the risk you took
23 with the testimony you have prefiled?

24 But, Commissioners, I think I have talked myself into
25 leaving this stipulation open and have us resolve it through

1 the recommendation process and let staff thoroughly evaluate
2 the evidence and bring back us to a recommendation. And we
3 don't have to vote on this stipulation today. My only question
4 and concern, Staff, is what does that means in terms of
5 witnesses. You know, does that mean we do have to go ahead and
6 put witnesses on the stand and hear this testimony in the event
7 the Commission does not agree to the stipulation later on?

8 MR. FUDGE: Yes, Commissioner. Witness Trimble is
9 still on the stand and we do have some cross questions on
10 deaveraging that Verizon has currently proposed.

11 CHAIRMAN JABER: Ms. Caswell, I didn't mean to leave
12 you out of this process. What do you think?

13 MS. CASWELL: I just want to make one comment. I was
14 a little troubled by the discrimination argument. I just want
15 to make clear that this stipulation is entirely lawful. There
16 were no constraints whatsoever on a party's ability to propose
17 whatever deaveraging methodology they chose to. We have always
18 operated on the basis that this is a separate proceeding from
19 BellSouth. Verizon has different costs, it can propose what it
20 wants for itself just as the CLECs can agree or disagree with
21 those proposals. So it is entirely lawful to have more than
22 one deaveraging scheme in a state.

23 CHAIRMAN JABER: Commissioners, are you okay with
24 what appears to be what I have decided, which is to move
25 forward? We have got this stipulation as a proposed

1 stipulation, we will vote on it in the recommendation portion
2 of this proceeding?

3 COMMISSIONER DEASON: I think that is the appropriate
4 way to go.

5 COMMISSIONER BAEZ: Madam Chairman, and just to
6 clarify. I mean, even this proposed stipulation as it stands
7 now is going to be expanded on during the course. I mean, we
8 are going to have, in essence, a full stipulation.

9 MS. CASWELL: That is what we would contemplate
10 ideally. This stipulation embodies something that MCI proposed
11 in the prehearing statement. We had tried to put more flesh on
12 it, but we just didn't have time to finish it up. But these
13 were the elements of the MCI stipulation.

14 COMMISSIONER BAEZ: Okay.

15 COMMISSIONER PALECKI: And I guess I just have one
16 further question of staff. Did staff agree to the stipulation
17 with regard to Verizon? Was staff a party to the stipulation?

18 MR. FUDGE: Yes. For the stipulation that was
19 included in the prehearing order, staff did agree to the
20 language that was proposed in the prehearing order.

21 COMMISSIONER PALECKI: When you entered into the
22 stipulation, did you consider the issue of whether or not a
23 uniform structure was advisable for the entire state. The
24 argument that Mr. Fons has made, is that something that was
25 brought to your attention?

1 MR. FUDGE: No, Commissioner. I think we agree with
2 Ms. Caswell that we have always thought of this as a separate
3 docket and that it was based upon its own record and that we
4 were agreeing to what Verizon has proposed for this proceeding.

5 COMMISSIONER PALECKI: I guess what I'm trying to get
6 at is do you expect that it might possibly occur that staff
7 withdraws from the stipulation and instead takes a position
8 that it will not -- it will not stipulate to a methodology that
9 is different for one carrier than a methodology that it gives
10 for another carrier.

11 CHAIRMAN JABER: I am troubled by something in the
12 discussion, and I want to throw this out here before staff
13 responds. Staff doesn't enter into the stipulation, and we
14 should be clear about that. All they do is agree, because they
15 don't bind us, they don't bind the Commission.

16 COMMISSIONER PALECKI: I understand that.

17 CHAIRMAN JABER: But we need to make sure the record
18 is clear. They are not a party to the stipulation. They have
19 not entered into the stipulation. You agreed to recommend to
20 us acceptance, and the Commissioner's question is --

21 COMMISSIONER PALECKI: After considering Mr. Fons'
22 argument that there should be one uniform methodology, is there
23 a chance that you will change your recommendation with regard
24 to this stipulation? And the reason I'm asking is I would like
25 to know before we take all the time to go through the witness

1 and the cross examination, whether that is something that might
2 occur.

3 MR. FUDGE: We haven't had sufficient time to
4 evaluate that argument about the uniformity of a deaveraging
5 proposal.

6 COMMISSIONER BAEZ: So then you would like to keep
7 that an open issue for the time being.

8 MR. FUDGE: Yes, Commissioner.

9 COMMISSIONER PALECKI: Thank you.

10 COMMISSIONER BRADLEY: Madam Chair.

11 CHAIRMAN JABER: Commissioner Bradley.

12 COMMISSIONER BRADLEY: But the Commission, and I
13 don't know who needs to answer this, maybe we need to talk
14 about it. But we have the authority to not have uniformity, is
15 that correct?

16 CHAIRMAN JABER: In response to one of the questions
17 that Commissioner Baez asked, it appears that there is
18 consensus that there is nothing binding us legally to one set
19 or one methodology for UNE rates. And you all jump in if you
20 think that is incorrect, but my reading was that there was
21 consensus on that.

22 COMMISSIONER BRADLEY: There is consensus that there
23 will be uniformity or there will not be?

24 CHAIRMAN JABER: That legally you don't have to have
25 a uniform structure or methodology for UNE rates.

1 COMMISSIONER BRADLEY: And I don't think it is
2 possible to have uniformity, is it? I mean, because the two
3 companies are very different.

4 COMMISSIONER DEASON: You can have uniform
5 methodologies, but you would not have the exact same results
6 because it depends upon the cost from company to company. But
7 you could use the same method or formula and have different
8 inputs and you would get different outputs.

9 COMMISSIONER BRADLEY: Question, Mr. Fons. Does that
10 give you any comfort, Mr. Fons, or do you still have the same
11 opinion? And I will tell you what I would be inclined to do --
12 well, go ahead and answer that question, and then I will tell
13 you.

14 MR. FONS: My main concern, Commissioner, or Sprint's
15 main concern is a uniform methodology. We think that that is
16 the only fair way to go. We have not researched the law, I am
17 not sure that other than the Act and the FCC orders that there
18 is anything that you could point to that mandates the common
19 methodology. Whether or not there is a requirement to do that
20 by the Act or the FCC orders, nonetheless we believe, Sprint
21 believes that if you are going to be setting UNE rates within a
22 state, that at least the methodologies be the same. Not
23 necessarily -- we don't expect the results to be the same. We
24 recognize that the costs may be different, but as far as the
25 methodologies are concerned both as to how you calculate your

1 bands, do your banding as well as what the inputs are going to
2 be, whether or not a particular input is going to be done on a
3 geographically deaveraged basis or on a regional basis, we
4 still think that for each company the methodology ought to be
5 the same. Certainly the results can be different.

6 COMMISSIONER BRADLEY: Okay. And I thought that your
7 concern was more related to cost rather than methodology.

8 MR. FONTS: No, mine is only to methodology at this
9 particular point in time.

10 CHAIRMAN JABER: Mr. Fons has admittedly acknowledged
11 that they are in a position -- if we accept this proposed
12 stipulation, Sprint will be in a position of collecting less
13 than what they are paying. Collecting less as an ILEC than
14 what they are paying as an ALEC. Here is the dilemma. And,
15 Commission Baez, I know you have a question, but here is the
16 dilemma. We don't have testimony on whether there should be
17 uniformity. Is that a word? And this issue hasn't been
18 identified. I want to leave this proposed stipulation pending
19 and certainly we can identify in issue for the brief on whether
20 we have to have a uniform structure in determining the UNE
21 methodology, Commissioner Bradley, which is probably where you
22 were going.

23 COMMISSIONER BRADLEY: Yes.

24 CHAIRMAN JABER: Commissioner Baez, you had a
25 question?

1 COMMISSIONER BAEZ: No, I think you covered it.

2 Thank you.

3 MR. FONS: If I may, at one point in time when this
4 all started 990649 was a common docket. BellSouth, Sprint, and
5 Verizon were all in that docket, and there was one issue on
6 what is the proper methodology. We were all going to provide
7 testimony on that proper methodology and the Commission would
8 have selected a methodology. Because of the way events have
9 unfolded, BellSouth was treated first, Sprint and Verizon were
10 then treated in a separate phase of this proceeding.

11 So now the issue is now to come down for each company
12 what is the proper methodology. But initially we believed
13 there was going to be one decision on the methodology after you
14 had heard all the evidence from all the parties. So this is --

15 COMMISSIONER BAEZ: But at that point in time were
16 the methodologies that the several ILECs were proposing, were
17 they the same or did they --

18 MR. FONS: They were different methodologies.

19 COMMISSIONER BAEZ: And with all ILECs proposing
20 their separate methodologies or their preferred methodologies
21 and understanding somehow that there were going to be two
22 losers or maybe three losers.

23 MR. FONS: Let me tell you what the three
24 methodologies were. Sprint's methodology was to unbundle --
25 deaverage as many facilities as you could. Not just loops, but

1 switching, transport, and others. Sprint's methodology was
2 that no rate in a group should be more than 20 percent higher
3 than the rates in the other groups. BellSouth's proposal for
4 deaveraging was to use the rate groups, the historical rate
5 groups. Verizon's methodology for deaveraging was, well, why
6 don't you just have one rate for Sprint, one rate for
7 BellSouth, and one rate for Verizon, and then you will have
8 your three zones. You will have the Verizon zone, the Sprint
9 Florida zone, and the BellSouth zone. Those were the three
10 proposals.

11 And you were going to have to pick between those
12 particular zones, because you couldn't have -- the Verizon
13 proposal you couldn't have picked, you couldn't have done it
14 differently because then would you have had to impose the
15 Verizon methodology on the other two companies because you
16 would only have one rate to make up those zones. So that's why
17 when they were altogether there was one issue and you would
18 have come up with one methodology.

19 Because the cases have now been bifurcated and
20 separated now you are addressing it on an ad hoc basis. One
21 for BellSouth, one for Sprint, one for Verizon. That is your
22 decision, you may make that decision. I am just pointing out
23 to you that I think the Commission is drifting away just
24 because of happenstance from the situation where you would come
25 up with one methodology so that everybody would be treated the

1 same. Not only the ILECs, but the CLECs, as well.

2 COMMISSIONER BAEZ: I'm just curious as to why the
3 issue didn't carry over. Was that a driving force for
4 splitting off the docket?

5 MR. FONS: The issue is still in the proceedings,
6 there still is the Issue 2A, what is the appropriate
7 methodology.

8 COMMISSIONER DEASON: Let me ask a question at this
9 point. And this may sound silly, but I just can't help but ask
10 it. If we decided the issue for BellSouth and this Commission
11 was comfortable with that methodology and it was a hybrid
12 Sprint methodology, why isn't that good enough for Sprint and
13 Verizon?

14 MR. FONS: It's fine for Sprint because that is what
15 we testified to.

16 COMMISSIONER DEASON: Verizon, why couldn't you all
17 just stipulate that the BellSouth methodology would apply in
18 this proceeding?

19 MS. CASWELL: Well, apparently Verizon as well as the
20 CLECs decided that it would be in their own best interest to go
21 with a different methodology. And can I respond --

22 CHAIRMAN JABER: Ms. Caswell, may I interrupt you for
23 just a second. And, Commissioner Deason, just to follow up on
24 yours, the question I have been dying to ask is why doesn't
25 Sprint, the ALEC, refuse to be part of this stipulation because

1 Sprint, the ILEC, knows you have got a better UNE methodology
2 in your opinion? By your own admission, Sprint's UNE
3 methodology results in lower rates. It will result in you
4 collecting lower rates and UNEs. So if Sprint, the ALEC, knows
5 that, I am surprised you are not fighting the stipulation.

6 MR. FONS: We are in a way fighting the stipulation,
7 but I don't think I have standing as an ALEC in this
8 proceeding.

9 CHAIRMAN JABER: Ms. Caswell.

10 MS. CASWELL: Yes. I would just like to respond
11 briefly to Mr. Fons' remarks. When these cases were
12 bifurcated, it was very clear that the methodology issue was
13 company-specific, as I think it was clear even when the cases
14 were one. We could all propose something different, we could
15 all have something different ordered.

16 Apparently when the cases were split, Sprint was
17 under the impression that even though the cases were bifurcated
18 the Commission would come to a decision in the Bell case about
19 methodology and just impose it on the other parties. Now, if
20 that were the case, I really would have hoped that someone
21 would have told me that because we would never have agreed to
22 bifurcation and no one had any need to submit testimony on
23 methodology in this case if that were true.

24 And I think even in this case -- I'm not that
25 familiar with Sprint's testimony, but I don't think Sprint even

1 said, well, just impose what you did in the Bell case. I think
2 there are some variations in the details on what you did in the
3 Bell case and what Sprint is testifying to here. So I
4 vehemently disagree that just because you ordered something in
5 the Bell case means you have to impose it in this case.

6 CHAIRMAN JABER: Okay. Commissioners, you know, I am
7 going to exercise our discretion to move forward. Let's just
8 move this forward. The proposed stipulation has been
9 identified. It sounds like, Mr. Fons, you have got a lot of
10 discussing to do with the ALECs and Verizon. If you all reach
11 some sort of resolution before tomorrow morning, we can revisit
12 this issue tomorrow morning. And certainly do not leave staff
13 out of those discussions. Okay. Let's move forward.

14 CROSS EXAMINATION

15 BY MR. FUDGE:

16 Q Good afternoon, Mr. Trimble. Mr. Dowds is going to
17 pass out a summary of two-wire and four-wire deaveraging that
18 was presented in the Florida Docket 990649, GTE Florida. If
19 you look at the bottom of the first page, at Zone 3 where the
20 deaveraged factor is 2.02, do you see that?

21 A Yes.

22 Q Will you now please turn to the last page of this
23 document. Look in the sixth column.

24 A In the sixth column?

25 Q Yes. The sixth column, second row from the bottom

1 where it reads 202 percent.

2 A Yes.

3 Q Would you agree that this corresponds to the
4 deaveraged factor found on the first page that I asked you --

5 A Yes, I will.

6 Q Okay. Would you look at the third column of this
7 last page, and would you agree that the wire centers that
8 comprise this rate zone are not all in the same retail rate
9 group?

10 A Yes, I would.

11 Q So would you agree with me that the interim
12 deaveraged rate zones are not based on Verizon's retail rate
13 zones?

14 A Yes, I would. Is this part of looking at our
15 response to Interrogatory 219?

16 Q Well, no, I don't think it is part of this. As I
17 understand your alternative deaveraging proposal, Verizon's
18 wire center loop costs will be rank ordered and grouped into
19 three zones based on these break points. Wire centers whose
20 average loop costs were less than or equal to the Verizon
21 statewide average loop costs are in Zone 1, wire centers
22 between the average and 200 percent of the average are in Zone
23 2, and wire centers whose average loop cost exceed 200 percent
24 of the statewide average are in Zone 3, is that correct?

25 A Yes. That is actually quite similar to how our

1 interim deaveraged rates were developed.

2 Q While your proposal is based on loop costs, wasn't
3 the interim deaveraging based on loop investment?

4 A Yes. The interim was based on VCPM loop investment,
5 but that is the major component of loop cost.

6 Q Okay. And although --

7 A So 100 percent of the investment I would assume
8 would -- in terms of average investment in the company, it
9 turns out to be very, very close to 100 percent of the total
10 TELRIC costs. The percent of lines difference put in the first
11 zone were almost minimal.

12 Q And although your proposal in the interim approach
13 reflect different break points, they are somewhat similar?

14 A They are relatively similar in terms of percentages.
15 For Zone 1, I believe as my Exhibit DBT-3 shows, about 67
16 percent of the lines go in Zone 1; where with the interim rates
17 it was approximately 62 percent.

18 Q Are you aware that your proposal is similar to the
19 proposal that staff made in the BellSouth portion of this
20 docket?

21 A No, I am not.

22 MR. FUDGE: That's all the questions that staff has.

23 COMMISSIONER DEASON: Commissioners, questions?

24 I have a question. You were sitting there, you heard
25 the discussion we had about ALECs and ILECs and maybe some

1 being advantaged or disadvantaged depending upon what
2 methodology is chosen. You heard that, didn't you?

3 THE WITNESS: Yes, I did.

4 COMMISSIONER DEASON: I guess I need a little bit of
5 help and maybe you can provide that help for me. Is the
6 concern with whether a particular company that is both an ALEC
7 and an ILEC is advantaged or disadvantaged, is it in terms of
8 what rates apply to rate group one, or is it for all the rate
9 groups?

10 THE WITNESS: From what I heard from the discussion
11 it is probably what applies to rate group one. If you look at
12 deaveraging, all deaveraging really does is take a statewide
13 average rate and deaverage it by zone, right? If an ALEC or a
14 CLEC is targeting every customer, wants to serve every
15 customer, there is absolutely no difference between the end
16 result from deaveraging or just using a statewide rate.

17 Deaveraging really gets into what do you want
18 targeted. You know, some people want to target one small area
19 and they would like a zone that reflected very low costs to
20 that given area. But for somebody who is going to serve all
21 customers and attempt to further competition across everything,
22 the average costs they pay for all the loops should result back
23 again to statewide average rates.

24 COMMISSIONER DEASON: Redirect.

25 I'm sorry, Commissioner.

1 COMMISSIONER BRADLEY: Would you define all customers
2 for me?

3 THE WITNESS: Well, to me all customers are all
4 customers within a given franchise area. The ILECs serve all
5 customers based on a set of rates. Some of those rates are
6 relatively disoriented and not reflective of costs. The CLECs
7 can also serve all customers because they can, in essence,
8 parrot the same type of rate structures if they would so
9 desire. So to me all customers is every customer that is
10 served.

11 COMMISSIONER DEASON: Redirect.

12 MS. CASWELL: I just have a couple of questions.

13 REDIRECT EXAMINATION

14 BY MS. CASWELL:

15 Q Mr. Trimble, do you still have the Paragraph 696 from
16 the local competition order that Ms. McNulty handed you
17 earlier?

18 A Yes, I do.

19 Q And that discussed two possible reasonable allocation
20 methods, do you recall that discussion?

21 A Yes, I do.

22 Q Has any state ever implemented the second reasonable
23 allocation method the FCC identifies?

24 A Actually, I know of no state that has ever
25 implemented differences in terms of common cost allocation

1 among various UNEs. It has almost always been the standard
2 fixed allocator.

3 Q As between these two methods, did the FCC express a
4 preference for one over another?

5 A No, I do not believe so.

6 MS. CASWELL: That's all I have. Thank you.

7 COMMISSIONER DEASON: Okay. Exhibits.

8 Ms. Caswell, I believe you want to move Exhibits 46
9 and 47?

10 MS. CASWELL: Yes, thank you.

11 COMMISSIONER DEASON: Without objection, show
12 Exhibits 46 and 47 are admitted.

13 (Exhibits 46 and 47 admitted into the record.)

14 MS. McNULTY: WorldCom moves Exhibit 48.

15 COMMISSIONER DEASON: Without objection. Hearing no
16 objection, show that Exhibit 48 is admitted.

17 Thank you, Mr. Trimble, you are excused.

18 THE WITNESS: Thank you.

19 (Exhibit 48 admitted into the record.)

20 CHAIRMAN JABER: Ms. Caswell, do you want to call
21 your next witness?

22 MR. HUTHER: Verizon next calls David Tucek.

23 Mr. Tucek, you have already been sworn?

24 THE WITNESS: Yes, I have.

25 DAVID G. TUCEK

1 was called as a witness on behalf of Verizon and, having been
2 duly sworn, testified as follows:

3 DIRECT EXAMINATION

4 BY MR. HUTHER:

5 Q Would you please state your name and address for the
6 record?

7 A My name is David G. Tucek. My business address is
8 1000 Verizon Drive, Winsfield, Missouri.

9 Q How are you employed and in what capacity?

10 A I am employed by Verizon Communications as Staff
11 Manager, Economic Issues.

12 Q Did you cause to be filed direct testimony consisting
13 of 30 pages and two exhibits designated as Direct Exhibit DGT-1
14 and DGT-2?

15 A I did.

16 Q Was the testimony prepared by you or under your
17 direction and control?

18 A It was.

19 Q Did you also cause to be filed a correction to Page
20 22 of your direct testimony on March 11th, 2002?

21 A I did.

22 Q Are there any other corrections or changes you would
23 like to make to your prefiled direct testimony?

24 A No.

25 Q With the one correction that you made to your

1 testimony, if I were to ask you the questions contained
2 therein, would your answers be the same today?

3 A Yes, they would.

4 MR. HUTHER: Madam Chair, may I have Mr. Tucek's
5 prefiled direct testimony inserted into the record as though
6 read.

7 CHAIRMAN JABER: Yes. The prefiled direct testimony
8 of David G. Tucek shall be inserted into the record as though
9 read.

10 MR. HUTHER: Thank you.

11 BY MR. HUTHER:

12 Q Mr. Tucek, did you also cause to be filed a
13 correction to Direct Exhibit DGT-2 on April 25th, 2002?

14 A I did.

15 Q And other than that change, are the exhibits to your
16 prefiled direct testimony true and correct to the best of your
17 knowledge?

18 A Yes, they are.

19 MR. HUTHER: I would like to have Direct Exhibits
20 DGT-1 and DGT-2 collectively marked as Hearing Exhibit 49.

21 CHAIRMAN JABER: DGT-1 and DGT-2 are identified as
22 Composite Exhibit 49.

23 MR. HUTHER: Thank you.

24 (Composite Exhibit 49 marked for identification.)

25

DIRECT TESTIMONY OF DAVID G. TUCEK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

A. My name is David G. Tucek. My business address is 1000 Verizon Drive, Wentzville, MO 63385.

Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?

A. I am employed by Verizon Communications (Verizon) as Staff Manager - Economic Issues. In this capacity, I am responsible for supporting Verizon's incremental cost studies for its telephone operating companies. In this proceeding I am representing Verizon Florida Inc., which was formerly known as GTE Florida Incorporated.

Q. PLEASE DESCRIBE YOUR EDUCATIONAL BACKGROUND AND WORK EXPERIENCE.

A. I have a Bachelor of Science Degree in Mathematics and Economics from Southeast Missouri State University and a Master of Arts Degree in Economics from the University of Missouri. I also have a Master of Business Administration from St. Louis University. I began my career in the telecommunications industry as a Senior Cost Analyst with Contel Service Corporation in 1979. I became an employee of GTE in 1991, at the time of the merger between the two companies. During the course of my career, I have held various positions dealing with cost analysis and modeling, rate design, tariff development, carrier billing, and demand analysis. I assumed my present position in August of 1996.

1

2 **Q. HAVE YOU TESTIFIED BEFORE THIS OR ANY OTHER**
3 **REGULATORY COMMISSION?**

4 A. Yes. I have presented testimony on behalf of the Company before this
5 Commission and before state public utility commissions in Alabama,
6 Arkansas, Hawaii, Illinois, Indiana, Iowa, Kentucky, Michigan, Missouri,
7 Nebraska, New Mexico, North Carolina, Ohio, Pennsylvania, Texas,
8 Virginia and Washington.

9

10 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

11 1. The purpose of my testimony is to describe and sponsor Verizon's long-
12 run, forward-looking cost study. This study is based on a Florida-specific
13 version of Verizon's Integrated Cost Model (ICM-FL). ICM-FL is a long-
14 run incremental cost model that estimates the long-run, forward-looking
15 costs of provisioning unbundled network elements (UNEs) out of
16 Verizon's Florida network. My testimony also addresses the appropriate
17 assumptions and inputs to be used in the model (Issue 7), with the
18 exceptions of depreciation lives and the cost of capital, which are
19 addressed in the testimony of Verizon witnesses Sovereign and Vander
20 Weide, respectively.

21

22 **Q. WHAT STUDIES AND EXHIBITS ARE YOU SPONSORING?**

23 A. In addition to Verizon's long-run, forward-looking cost study, which has
24 been filed concurrently with my testimony, I am sponsoring the following
25 two exhibits:

- 1 (1) Exhibit DGT-1, "Main Components of ICM-FL's Modeled Network";
2 (2) Exhibit DGT-2, "ICM-FL's Modeling Process".

3

4 Included with the Company's cost study filing is a CD containing ICM-FL
5 and all of the files and input data needed to replicate the study results.
6 Copies of this CD are available to parties for review upon execution of an
7 appropriate protective agreement. A second CD, with the confidential
8 information redacted, has also been provided as part of the Company's
9 cost study filing.

10

11 **Q. HOW DOES ICM-FL DIFFER FROM EARLIER VERSIONS OF**
12 **VERIZON'S INTEGRATED COST MODEL (ICM)?**

13 A. ICM-FL represents a move towards even more state- and
14 company-specific estimates of the long-run costs of provisioning
15 telecommunications services in Verizon's Florida network. ICM-FL differs
16 from earlier versions of ICM in two major areas. The first difference is
17 found in ICM-FL's modeling of local loop costs. Earlier versions of ICM
18 modeled the number of Digital Loop Carrier (DLC) locations and their
19 attendant fiber feeder routes in order to meet a user-specified restriction
20 on copper loop length. Specifically, the length of the copper portion of an
21 end-user's loop was restricted to either 12 or 18 kilofeet. In ICM-FL, this
22 option is disabled and the modeled DLC locations are based on the
23 existing network in Verizon's Florida serving area. The modeled DLC
24 locations are inputs to the modeling process rather than outputs of it.

25

1

2 The second difference between ICM-FL and earlier versions of ICM is
3 found in the inputs provided to ICM's Transport Module. Previously, the
4 end-office assignments to the SONET rings were specified with minimal
5 regard for the assignments found in the existing network. While the
6 assignments continue to be specified outside of the model, on ICM-FL
7 they are now based on Verizon Florida's network configuration. In
8 particular, not every hub office on a ring is an access tandem. In Florida's
9 existing network, and in ICM-FL's modeled network, some SONET rings
10 are used to transport traffic between offices without passing through the
11 Tampa access tandem. Generally, a large office on these collector rings
12 serves as the hub.

13

14 These two changes move ICM-FL's modeled network substantially closer
15 to the network that actually exists in Verizon's Florida operations.
16 Nevertheless, ICM-FL retains many attributes of earlier versions of the
17 model. In particular, the material and placement costs continue to be
18 company- and state-specific. Likewise, the network modeled by ICM-FL
19 continues to be based on the existing wire center locations and on the
20 host/remote relationships found in Florida. Finally, ICM-FL continues to
21 reflect Verizon's engineering standards, and the technologies Verizon is
22 using now and going forward.

23

24 **Q. HOW IS THE REMAINDER OF YOUR TESTIMONY ORGANIZED?**

25 **A.** The remainder of my testimony is organized into three major sections.

1 First, I explain why the Commission should choose ICM-FL to estimate
2 the long-run, forward-looking costs of Verizon's Florida network. Second,
3 I present an overview of ICM-FL. In the final section of my testimony, I
4 summarize the major assumptions and inputs underlying ICM-FL.

5

6 **MODELING VERIZON'S LONG-RUN, FORWARD-LOOKING COSTS**

7

8 **Q. WHY SHOULD THE COMMISSION CHOOSE ICM-FL TO ESTIMATE**
9 **THE FORWARD-LOOKING COSTS OF VERIZON'S FLORIDA**
10 **NETWORK?**

11 A. There is one main reason. ICM-FL provides estimates of the
12 forward-looking costs of provisioning telecommunications services out of
13 the Company's own network in Florida, as opposed to the costs produced
14 by a proxy model based on assumptions and input values that are not
15 company-specific. ICM-FL estimates the forward-looking costs of
16 provisioning telecommunications services out of the Company's own
17 network by reflecting Verizon's engineering practices and operating
18 characteristics, and by relying on the Company's Florida costs for material
19 and labor. Additionally, ICM-FL possesses several characteristics that
20 will facilitate the Commission's determination of Verizon's forward-looking
21 costs in Florida.

22

23 **Q. WHY IS IT IMPORTANT THAT A COST MODEL REFLECT VERIZON'S**
24 **ENGINEERING PRACTICES AND OPERATING CHARACTERISTICS,**
25 **AND BE BASED ON VERIZON'S COSTS FOR MATERIAL AND**

1 **LABOR?**

2 A. Unless a cost model reflects Verizon's engineering practices and
3 operating characteristics, it cannot produce realistic estimates of
4 Verizon's forward-looking costs. As I explain below, ICM-FL reflects a
5 long run forward-looking loop network designed according to the
6 Company's engineering practices and guidelines, along with switches
7 using Verizon's forward-looking technology and engineered to the service
8 characteristics of Verizon's system. In particular, the switching costs
9 produced by ICM-FL are based on the host/remote relationships and
10 technology mix found in Verizon's network, and on the switch prices that
11 Verizon is able to obtain today and for the foreseeable future. In addition,
12 costs are based on input prices for material and labor that Verizon, as an
13 efficient buyer with a national presence, is able to obtain. The material
14 costs input to ICM-FL are based on Verizon's actual contracts with
15 vendors, and the labor costs are based on Verizon's experience of what
16 labor activities actually cost in Florida.

17

18 **Q. WHAT ARE THE FEATURES OF ICM-FL THAT WILL FACILITATE THE**
19 **COMMISSION'S DETERMINATION OF VERIZON'S FORWARD-**
20 **LOOKING COSTS IN FLORIDA?**

21 A. ICM-FL provides the advantages of testability, flexibility, complete
22 openness to inspection, and internal integration. ICM-FL allows the user
23 to easily see and vary inputs, and evaluate the impact on intermediate
24 and final output, thereby affording tremendous testing capability. Without
25 this capability, the user is left with gaps in knowledge about a model's

1 operation and performance. ICM-FL is flexible in that it can be used for
2 various purposes, such as the estimation of UNE costs and the
3 determination of costs for retail services. Another dimension of flexibility
4 that ICM-FL offers is that it is capable of easily accommodating a change
5 in the definition of a service. ICM-FL is completely open to inspection,
6 including the model code and all preprocessing functions. This attribute
7 allows a user to understand precisely how the model is operating. Finally,
8 ICM-FL is integrated, combining all components of Verizon's network into
9 one model that operates on a consistent set of inputs.

10

11 **Q. PLEASE EXPAND ON ICM-FL'S TESTING CAPABILITY.**

12 A. ICM-FL was developed with the premise that the more ways in which a
13 model can be tested, the easier it is for reviewers to gain confidence in it.

14 The six primary features that enable the user to test ICM-FL are:

15

16 (1) Sensitivity Analysis Capabilities - ICM-FL offers two avenues for
17 the user to conduct sensitivity analyses. First, a menu-driven "Run
18 Time Options" feature allows the user to change model
19 assumptions such as administrative fill, sharing percentages, pole
20 spacing, etc. Second, a table reader function allows the user to
21 view and revise all other model inputs, which include material
22 costs, plant mixes, rate of return, depreciation lives, and others.
23 The ability to change ICM-FL's inputs and assumptions enables
24 the user to easily test the sensitivity of its outputs to specific input
25 changes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(2) Intermediate Outputs - The ability to change inputs and observe the impact on final output provides the user with a solid tool for evaluating the operation of a cost model. ICM-FL expands dramatically upon this capability by offering the user a large set of intermediate outputs. These outputs are generated and saved to a series of output files that can be viewed via the table viewer. Intermediate outputs are available for items such as size, length, and type of facilities placed at the demand cluster level. (As explained below, a demand cluster is an area within the wire center that is served directly by the switch or by a DLC.) Investment results are available at the wire center level for items such as poles, conduit, aerial copper distribution cable, etc.

(3) Integrated Table Query Function - Much of the intermediate output produced by ICM-FL is offered to the user on a detailed basis. For example, the total amount of 25-pair buried copper distribution plant placed can be viewed at the cluster level. In some instances, the user may wish to view intermediate output on a slightly more aggregated basis. For this purpose, ICM-FL features a database query function as part of its table viewer. The user may define search parameters and query the desired intermediate output table to view a customized level of intermediate output detail.

- 1 (4) Database Export Function - ICM-FL offers the user the capability
2 to export database files and table viewer query results in a
3 comma-delimited format for use by an analytical software program
4 (e.g., a spreadsheet program) of the user's choice. The user may
5 view and export any ICM-FL database files (e.g., input tables, raw
6 input data, and intermediate output tables) to perform tests on
7 ICM-FL's performance as a whole and/or to evaluate the operation
8 of specific functions within the model. The Export Function makes
9 it possible to extract these outputs into such off-the-shelf tools as
10 Microsoft Access or Excel.
11
- 12 (5) Visual Interface Output - ICM-FL offers the user the ability to view
13 a graphical representation of the modeled network designed to
14 serve the demand in a particular wire center. The user can view,
15 by CLLI code, maps depicting items such as the distribution of
16 demand density, DLC placement, feeder network design, and
17 demand clustering results. This function can be used in
18 conjunction with sensitivity analyses to see how the network
19 placement may vary due to input and/or assumption changes.
20
- 21 (6) Numerical Output Integrated With Visual Interface -
22 Accompanying the Visual Interface is an option to see detailed
23 intermediate output results that correspond to the wire center
24 serving area map being viewed on the screen. For example, the
25 user may simply click on a particular demand cluster depicted on

1 the visual interface to examine details about the type and amount
2 of distribution plant placed by ICM-FL in that particular distribution
3 area (e.g., type of plant, size, length, number of units, etc.).
4

5 **Q. WHAT DO YOU MEAN WHEN YOU SAY THAT ICM-FL IS FLEXIBLE?**

6 A. ICM-FL produces both TSLRIC and TELRIC estimates, meaning it can be
7 used for the purposes of establishing UNE costs and to assist in retail
8 rate rebalancing. In addition, the Mapping/Report Module of ICM-FL
9 allows the user to define new elements or services by assembling the
10 desired type and number of basic network functions. Thus, ICM-FL can
11 respond to new requirements for element or service costs.
12

13 **Q. IS ICM-FL OPEN TO INSPECTION?**

14 A. Yes. All of ICM-FL's processes and inputs are well defined and
15 documented. The programming code of ICM-FL is readily available for
16 review. Output from the model, including intermediate output, can be
17 reviewed at nearly any level of detail desired, and all supporting
18 information is available for review. However, for obvious reasons, a
19 company's costs and customer or market information, including vendors'
20 proprietary information, must be maintained as confidential.
21 Consequently, Verizon makes all of this supporting information available
22 once the necessary confidentiality agreements and/or protective orders
23 have been executed. This information will allow thorough review so that
24 interested parties can confirm that the proposed inputs reflects Verizon's
25 source data.

1

2 **Q. WHAT ADVANTAGE DOES ICM-FL OFFER BY BEING INTEGRATED?**

3 A. ICM-FL is integrated in that it combines all of the components of Verizon's
4 network -- the loop, switching, transport and signaling -- into one model.
5 ICM-FL was developed from its inception in its present modular format.
6 This modular approach provides a consistency within the model with
7 respect to inputs, programming logic, and assumptions. This not only
8 makes the model easier to use but, more important, it makes the cost
9 studies internally consistent. Because a common set of inputs and
10 modeling assumptions is used, the results are consistent across the
11 various network components and uses for which ICM-FL is employed,
12 whether this is for a UNE proceeding, or rate rebalancing. ICM-FL can be
13 used to support regulatory proceedings dealing with both retail and
14 wholesale telecommunication services. The advantage is that this
15 enables this Commission to consistently identify costs for Verizon in both
16 UNE proceedings and in rate rebalancing proceedings.

17

18

OVERVIEW OF ICM-FL

19

20 **Q. WHAT IS THE PURPOSE OF ICM-FL?**

21 A. The purpose of ICM-FL is to calculate the total element long-run
22 incremental costs (TELRICs) of individual UNEs and the total service
23 long-run incremental costs (TSLRICs) of retail services provisioned out of
24 Verizon's Florida network. As explained below, ICM-FL does this by
25 designing the network all at once, using currently available, forward-

1 looking technology and the prices for labor, material and equipment that
2 Verizon is actually able to obtain. The network is modeled so that it is
3 capable of serving one hundred percent of current demand, and its
4 components include all the network elements Verizon is required to
5 unbundle (e.g., loops, switches, transport). Exhibit DGT-1 provides a
6 diagram illustrating the main components of the modeled network.

7

8 **Q. PLEASE DESCRIBE ICM-FL.**

9 A. ICM-FL is comprised of six modules: Loop, Switch, Interoffice Transport,
10 Signaling System 7 (SS7), Expense, and Mapping/Reporting. These six
11 modules design and cost the forward-looking network as if it is built all at
12 once using all new plant and technology. The designed network reflects
13 the economies of scale of all services across Verizon's entire Florida
14 network. ICM-FL can be used for both retail services, such as residence
15 and business services, and for wholesale services such as UNEs and
16 switched and special access.

17

18 ICM-FL's overall modeling process is depicted in Exhibit DGT-2. This
19 diagram shows the relationships between the supporting documentation
20 and inputs to ICM-FL, and between the ICM-FL outputs and the rest of
21 Company's filing. An Excel spreadsheet version of this exhibit, named
22 ICM-FL_Flow.XLS, is contained on the ICM-FL CD. The other tabs in this
23 spreadsheet list the ICM-FL files shown in each grouping in Exhibit DGT-
24 2. As shown in the diagram, the modeling process begins with inputs
25 dealing with material and placement costs and other engineering

1 assumptions that are used by the first five of ICM-FL's modules to model
2 a forward-looking network and develop investments and expenses for the
3 network components. The Mapping/Report Module is then used to
4 combine the network component investments and costs into basic
5 network functions (BNFs), UNEs, and services. All of the modules are
6 consistent, and utilize the same set of inputs. If, for example, inputs
7 related to cable prices are changed, then all six modules of ICM-FL will
8 be updated when the model is run.

9

10 **Q. HOW DOES ICM-FL CALCULATE THE TELRIC OF A UNE?**

11 A. The first four ICM-FL modules identify the forward-looking investments
12 associated with the various network elements, and the Expense Module
13 calculates the factors needed to convert these investments into monthly
14 recurring costs. These monthly recurring costs fall into two broad
15 categories, capital costs and operating expenses. The capital costs
16 include: (1) both a return of and a return on the investment; (2) property
17 taxes associated with the investment; and (3) income taxes associated
18 with the return component of capital costs. The operating expenses
19 consist of the costs of maintaining and operating the network, including
20 the costs of general support assets such as motor vehicles and general
21 purpose computers. Also included are the expenses of any marketing,
22 billing and collection activities associated with a given UNE. The
23 Mapping/Report Module calculates the capital costs and operating
24 expenses, using the factors produced by the Expense Module and the
25 investments identified by the other four modules. The Mapping/Report

1 Module also maps the costs of the network components into UNEs, and
2 produces reports showing the recurring costs of each UNE.

3

4 For example, the investments associated with an unbundled loop are
5 modeled by the Loop Module and include both (1) the material costs of
6 loop facilities, such as the feeder cable, distribution cable, and drop wire;
7 and (2) the cost of installing these facilities, such as trenching and labor
8 costs. After the Mapping/Report Module calculates the capital costs and
9 the operating expenses of each network component and maps these
10 recurring costs to UNEs, it reports these costs in seven categories. Here
11 is an illustrative example of one of the ICM-FL's UNE Reports for a
12 two-wire loop:

13 14	<u>Network Element</u>	<u>Investment</u>	<u>Deprec. & Return</u>	<u>Composite Property</u>		<u>Maint. & Support</u>	<u>Marketing</u>	<u>B/C & Directory</u>	<u>TELRIC</u>
			<u>Inc. Tax</u>	<u>Tax</u>					
15	2-wire	940.95	148.02	38.69	9.44	65.08	6.90	7.16	22.94

16

17 **Q. PLEASE EXPLAIN THE COSTS SHOWN IN EACH COLUMN.**

18 A. The Investment column shows the total investment associated with the
19 two-wire loop, which includes the material cost of the loop facilities, as
20 well as the cost of installing the facilities. In the above example, the total
21 investment cost of the loop equals \$940.95.

22

23 The Depreciation and Return column shows the annual capital charge
24 necessary to recover the total loop investment. This charge includes both
25 a return of the total investment (the annual depreciation cost) and a return

1 on the total investment (the rate of return). As illustrated in our example,
2 if the owners of the network receive \$148.02 (after taxes and other
3 operating expenses) each year over the estimated life of the loop, they
4 will recover the total long-run investment cost of the loop -- \$940.95 --
5 plus a reasonable return. The Depreciation and Return charge will, of
6 course, vary depending on the depreciation lives and cost of capital
7 inputs that are used in the model. Longer depreciation lives or a lower
8 cost of capital will produce a lower annual charge associated with the
9 loop investment, and vice versa.

10

11 The Composite Income Tax and Property Tax columns reflect the Florida-
12 specific annual state and federal income taxes and the property taxes
13 associated with the loop. The composite income tax reflects both state
14 and federal taxes, and its calculation incorporates statutory state and
15 federal income tax rates, depreciation rates, the weighted average cost of
16 capital, capital structure and cost of debt. The formula used to calculate
17 the composite income tax also accounts for differences that may exist
18 between book and tax depreciation methods, and is designed to reflect
19 any tax benefits available under the IRS Modified Accelerated Capital
20 Recovery System (MACRS) that result from such differences. Within
21 ICM-FL, a separate factor input is used to calculate the property taxes
22 associated with the modeled investments. This input factor is calculated
23 by taking the ratio of current annual property tax expense to the current
24 gross taxable plant balance.

25

1 The Maintenance and Support column reflects the annual maintenance
 2 expenses, such as the costs of maintaining and repairing poles, conduits,
 3 and other outside plant required for loops. Additionally, this column
 4 reflects the costs associated general support assets unless the user has
 5 opted to exclude them. The next two columns show the annual operating
 6 expenses associated with marketing activities, and billing and collection.
 7 All of these capital costs and operating expenses are calculated using
 8 ICM-FL's Expense Module.

9
 10 The last column shows the monthly TELRIC of the loop, which is simply
 11 the sum of all the annual costs divided by 12:

12	Depreciation and Return	\$148.02
13	Composite Income Tax	38.69
14	Property Tax	9.44
15	Maintenance and Support	65.08
16	Marketing	6.90
17	B&C and Directory	<u>7.16</u>
18	Total	\$275.29 / 12 =
19		\$22.94

20 **Q. BRIEFLY DESCRIBE THE SIX MODULES OF ICM-FL.**

21 A. ICM-FL's Loop Module estimates the investments needed to construct
 22 the loop -- that portion of the local exchange telephone network that
 23 extends from the Main Distribution Frame in the wire center to the
 24 Network Interface Device at the end user's location. These investments
 25 include items such as telephone poles, manholes, copper and fiber optic

1 cables, and conduit. ICM-FL builds the loop from existing wire center
2 locations to customer locations determined through the use of detailed
3 census information, actual line counts, tariffed exchange boundaries, and
4 road length data. The line counts used in this filing of ICM-FL correspond
5 to year-end 2000.

6
7 The Switch Module calculates the investment needed to provide the
8 circuit connections for completing telephone calls. The switch module
9 designs a network based on Verizon's existing wire center locations,
10 host/remote relationships, and the digital switch types that Verizon
11 deploys in its network. Costs are based on the current prices Verizon
12 pays for initial switch placements and expansions.

13
14 The Interoffice Transport Module designs the facilities needed to carry
15 traffic among Verizon offices and between Verizon's network and the rest
16 of the public switched network. These facilities consist of specialized
17 transmission equipment within wire centers and outside plant facilities
18 that carry communication signals between hosts, remotes, and tandem
19 offices. ICM-FL models the investments associated with these facilities
20 using the most efficient fiber optic equipment and technologies.

21
22 The SS7 Module calculates the investments needed for a stand-alone
23 signaling network. This signaling network, via connections at end office
24 and tandem switches, governs the operation of the switched telephone
25 network by setting up calls and ensuring efficient utilization of facilities.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

Q. CAN ICM-FL CALCULATE COSTS ON A DEAVERAGED BASIS?

25

A. Yes, ICM-FL calculates and reports costs at the wire center level which

1 can be extracted to an external analysis tool, such as a spreadsheet
2 program, and combined into any combination the user believes is correct.
3 ICM-FL also aggregates and reports the wire center costs as a statewide
4 average. These reports are in the same format illustrated above.

5

6

UNDERLYING ASSUMPTIONS AND INPUTS

7

8 **Q. WHAT ARE THE MAJOR ASSUMPTIONS UNDERLYING ICM-FL?**

9 A. The major assumptions underlying ICM-FL are that:

- 10 (1) the network is modeled as if it is built all at once, using all
11 new plant and technology;
- 12 (2) customer locations below the wire center level can be
13 approximated by the amount of road feet in a relatively
14 small area;
- 15 (3) the study is based on forward-looking capital costs;
- 16 (4) the study reflects structure mix and sharing parameters
17 based on Verizon's actual operating experience;
- 18 (5) the costs are based on the input prices for material,
19 equipment and labor that Verizon expects to pay;
- 20 (6) the study sizes cable based on Verizon's engineering
21 guidelines;
- 22 (7) the costs exclude common costs and the nonrecurring
23 costs of initiating and terminating service.

24

25 **Q. DOES THE ASSUMPTION THAT THE NETWORK IS BUILT ALL AT**

1 **ONCE WITH ALL NEW PLANT AND TECHNOLOGY REFLECT**
2 **VERIZON'S EXISTING NETWORK OR HOW NETWORKS ARE BUILT**
3 **IN THE REAL WORLD?**

4 A. No. Obviously, Verizon's network and any real-world network evolve
5 through time and reflect a mix of technologies. Neither Verizon nor any
6 other business immediately replaces its plant or technology whenever a
7 new product or technology enters the market. For example, American
8 Airlines does not retire its fleet and replace it whenever a new plane is
9 introduced. Likewise, accounting firms do not throw away all their
10 desktop computers every six months just because a more efficient
11 computer becomes available. Additionally, ICM-FL builds the network to
12 serve one hundred percent of the market; this implies that no other
13 company will install facilities, which is contrary to fact. Verizon believes
14 that the results of such a model have meaning, but that they only serve as
15 a lower bound on the forward-looking incremental costs of provisioning
16 UNEs to new entrants.

17

18 **Q. WHY SHOULD THE RESULTS OF A COST MODEL THAT ASSUMES**
19 **THE NETWORK IS BUILT ALL AT ONCE USING ALL NEW PLANT**
20 **AND TECHNOLOGY BE VIEWED AS A LOWER BOUND OF THE**
21 **FORWARD-LOOKING INCREMENTAL COSTS OF PROVISIONING**
22 **UNES?**

23 A. There are a number of reasons. First, such a model assumes economies
24 of scope and scale that do not exist in the real world. For example,
25 suppose that along a particular route, ICM-FL places a 400-pair cable. In

1 the real network, the required capacity may be provisioned with a 300-
2 pair cable, followed by a 100-pair cable, because of the way that demand
3 is realized through time. Comparing the modeled network with the real-
4 world network leads to several other examples:

5

6 (1) in the modeled network, pole lines are assumed to run down only
7 one side of the street, whereas in the real network clearance
8 considerations may require poles on both sides;

9

10 (2) in the modeled network, one pedestal may be provisioned for
11 every four drops, when in the real network some pedestals will
12 serve fewer drops simply because there isn't always an even
13 number of customer locations on a street;

14

15 (3) in the modeled network, distribution plant may be built only to
16 serve existing customers, whereas in the real network plant is built
17 to serve both vacant and planned structures.

18

19 Second, the assumptions underlying many long-run economic cost
20 models do not reflect the constraints that an incumbent LEC will face over
21 the next few years. In particular, long-run economic cost models do not
22 account for the costs of transitioning the existing network to the network
23 contemplated by the model. For example, in Verizon's network, many
24 end users are served by integrated pair-gain devices, via a trunk-side
25 connection to the switch, because this is the most economical way of

1 providing service to these end users. If such an end user decides to
2 leave Verizon in favor of a CLEC, and if the CLEC only orders an
3 unbundled loop in order to provide service to that end user, then Verizon
4 must terminate that end user's loop at the mainframe in order to hand it
5 off to the CLEC. A cost model that assumes all new plant and technology
6 does not capture these transition costs.

7

8 Because such a model assumes economies of scope and scale that will
9 not be realized, and because many real-world constraints are ignored, the
10 model results will underestimate the long-run, forward-looking costs of
11 provisioning UNEs. Hence, the long-run costs produced by such a model
12 are a lower bound.

13

14 **Q. PLEASE EXPLAIN HOW ICM-FL MODELS CUSTOMER LOCATIONS**
15 **USING ROAD FEET DATA.**

16 A. The basic unit of analysis in the Loop Module is the Demand Unit, which
17 is a grid that is 1/200th by 1/200th of a degree in size. For Tampa, this
18 equates to 1,823 feet by 1,617 feet, or about 0.11 square miles. Utilizing
19 line count estimates by census block from PNR Associates, Stopwatch
20 Maps assigns customer lines to each Demand Unit on the basis of each
21 grid's share of road feet in the wire center. The Demand Units are
22 assigned to each wire center based on Verizon's tariffed exchange
23 boundaries and the resulting totals for each wire center are trued up to
24 Verizon's actual line counts by wire center. The road feet measure in
25 ICM-FL is taken from the US Census Bureau's TIGER files, and

1 corresponds to the types of roads along which residential or business
2 development would normally occur, and from which customers would
3 have access to their premises. The measure excludes interstate
4 highways, limited access roads, bridges, tunnels, access ramps, alleys,
5 driveways and motorcycle trails. The sum of the lines assigned to the
6 individual Demand Units in a wire center equals the total actual line count
7 for the wire center. ICM-FL uses this same road feet measure to
8 constrain the structure length placed within a wire center.

9
10 **Q. HOW DOES ICM-FL REFLECT THE FORWARD-LOOKING**
11 **TECHNOLOGY MIX THAT VERIZON EXPECTS TO EMPLOY IN ITS**
12 **NETWORK?**

13 A. ICM-FL assumes that the existing wire center locations and host/remote
14 relationships remain unchanged. ICM-FL models switching costs based
15 on the switches that it purchases from its three primary vendors - Lucent's
16 5ESS, Nortel's DMS-10 and DMS-100, and AGCS's GTD-5. Besides
17 assuming the host/remote relationships are unchanged, ICM-FL models
18 the host and remotes in a consistent fashion - that is, if the host is a DMS-
19 100, then any remote switches are DMS-100 remote units. Additionally,
20 the DLCs used by ICM-FL reflect the line sizes and vendor choices
21 actually used by Verizon in making additions to its real-world network.
22 ICM-FL's transport network is based on existing tandem locations, with
23 offices clustered together on SONET rings based on their distance from
24 the tandems. In instances where only two nodes are involved, such as a
25 host/remote link or tandem serving a single Verizon switch, ICM-FL

1 involved, such as a host/remote link or tandem serving a single Verizon
2 switch, ICM-FL models a point-to-point connection. The SS7 network
3 modeled by ICM-FL is based on the actual locations of the Service
4 Control Points and Signal Transfer Points within Verizon's nationwide
5 SS7 network.

6

7 **Q. WHY IS IT APPROPRIATE FOR VERIZON'S COST STUDIES TO BE**
8 **BASED ON FORWARD-LOOKING CAPITAL COSTS?**

9 A. Capital costs are the costs associated with the capital used by the firm.
10 These costs include both a return on and a return of the invested capital.
11 The return on component of capital costs is called the cost of capital or
12 the cost of money. The providers of Verizon's capital do so on the basis
13 of their required expected, or ex ante, rate of return. This required rate of
14 return is largely determined by the risk associated with investing in a local
15 telecommunications carrier. This risk has increased because of several
16 factors: the prospect of increased competition and the attendant loss of
17 market share; the uncertainty surrounding the prices to be charged for
18 resale services and for unbundled network elements; the magnitude of
19 implementation costs and the question of how or whether they will be
20 recovered; the loss of geographical diversification of regulatory risk due to
21 the simultaneity of arbitration proceedings among the states; and the
22 possibility that prudently made historical investments will not be
23 recoverable. Unless Verizon's TELRIC estimates are based on a risk-
24 adjusted, forward-looking cost of capital, they will not reflect the costs
25 Verizon expects to incur. Verizon has used a cost of capital of 12.95

1 of Verizon witness Vander Weide.

2

3 The return of component of capital costs is called depreciation. This
4 component reflects the using up of the service potential of an asset. It
5 accounts for the change in the market value of an asset due not only to its
6 utilization in providing a service, but to other factors as well. For
7 example, the loss in the market value of a machine may be due to wear
8 and tear resulting from the provision of the service or element, or it may
9 simply be due to obsolescence resulting from changing demand
10 conditions or technology. While obsolescence may not physically destroy
11 an asset, it nonetheless reduces its economic or market value.
12 Depreciation lives that account for such a loss in the value of an asset are
13 called economic lives. Use of longer lives, or lower rates, will understate
14 the true economic cost of the service under study. Therefore, economic
15 depreciation more accurately reflects the cost of providing an unbundled
16 network element. Because Verizon's TELRIC estimates are based on the
17 economic lives of the underlying assets, they reflect the costs Verizon
18 expects to incur. Verizon witness Sovereign explains the economic lives
19 used in Verizon's TELRIC studies in his testimony.

20

21 **Q. WHY IS IT APPROPRIATE FOR VERIZON'S COST STUDIES TO**
22 **REFLECT STRUCTURE MIX AND SHARING PARAMETERS BASED**
23 **ON VERIZON'S ACTUAL OPERATING ENVIRONMENT?**

24 **A.** Unless these parameters are based on Verizon's actual operating
25 environment, then the resulting cost estimates will not reflect the forward-

1 looking costs Verizon expects to incur. With respect to structure sharing
2 in particular, parties in other proceedings have attempted to justify levels
3 of sharing that substantially exceed actual experience based on the
4 conclusory statement that opportunities for sharing will be greater in the
5 future. Such proposals conveniently overlook the fact that Verizon's
6 network is in place today. They assume that Verizon (or other utilities)
7 would have the foresight to install poles and conduit systems that were
8 large enough to accommodate these greatly expanded levels of sharing.
9 With respect to buried cable, these parties apparently believe that Verizon
10 will dig up its existing cable in order to immediately rebury it in a shared
11 trench. Even if one takes the position that it is the costs of some
12 hypothetical new entrant that is going to rebuild the entire network that
13 should be modeled, greatly increased levels of sharing still cannot be
14 supported. Even under this hypothesis, the required coincidence of
15 wants in space and time among the sharing utilities must be assumed as
16 well. However, there is no hypothetical new entrant that will completely
17 rebuild the electric power and cable TV networks in Verizon's serving
18 areas. Like Verizon, their networks are already in place along with
19 sharing arrangements that made sense at the time. Indeed, in FPSC
20 Order No. PSC-99-0068-FOF-TP, the Commission found the LECs'
21 sharing percentages to be reasonable surrogates for an efficient level of
22 sharing and also rejected sharing inputs that relied on the assumption
23 that power and cable companies would rebuild their networks. (Order at
24 pp. 125-126).

25

1 **Q. WHY IS IT APPROPRIATE FOR VERIZON'S COST STUDIES TO BE**
2 **BASED ON THE INPUT PRICES FOR MATERIAL, EQUIPMENT AND**
3 **LABOR THAT VERIZON EXPECTS TO PAY?**

4 A. It is appropriate because, unless the input prices correspond to what
5 Verizon expects to pay, there is no reasonable expectation that the
6 resulting cost estimates will reflect the costs Verizon expects to incur in
7 provisioning telecommunication services and UNEs. In particular, the
8 labor costs must reflect the wage rates Verizon pays in Florida, and any
9 sales taxes or shipping costs included in the costs of material and
10 equipment must reflect whatever Verizon pays. Also, the discount factor
11 used to estimate switching costs must reflect a blend of that realized for
12 modernization purchases and for growth purchases.

13

14 **Q. WHAT IS THE SOURCE OF ICM-FL'S INPUTS FOR MATERIAL,**
15 **EQUIPMENT AND LABOR?**

16 A. The material prices used in ICM-FL reflect Verizon's current experience.
17 Verizon purchases materials and equipment on a nationwide basis to
18 capture the economies of scale associated with buying in quantity. The
19 material prices for switches are based on Verizon's contracts with switch
20 vendors, and include loadings for vendor and Verizon engineering and
21 installation costs, supply expense, and costs of acceptance testing.
22 Additionally, loading factors are applied to the material costs to reflect the
23 cost of power and test equipment. The material prices are used as inputs
24 to SCIS (Switching Cost Information System), which is used to produce
25 the required investments for ports, call origination and termination, usage

1 and switch features. SCIS is a product of Telcordia Technologies and is
2 used to assign the costs of switch components on the basis of how the
3 component is engineered. ICM-FL uses the output from SCIS to
4 determine the costs of the Nortel and Lucent switches. Another program,
5 CostMod, is used to determine the costs of the GTD-5. Both of these
6 programs base the costs on the usage characteristics of each switch in
7 Verizon's Florida network. The inputs for the switching module can be
8 found on the ICM-FL CD in the FLSWINVW.DB table.

9
10 Material prices for such items as poles, manholes, fiber and copper
11 cables, drop wires, NIDs, DLCs, terminals and pedestals are taken from
12 GTE Advanced Material System (GTEAMS). GTEAMS is an information
13 management system used by Verizon in the normal course of business to
14 perform planning, inventory accounting, and material purchasing
15 management functions. The inputs for material costs in ICM-FL include
16 loadings for freight, sales tax, engineering, minor materials and supply
17 expense. Placement costs for these items are based on vendor contracts
18 specific to the state of Florida. The material and placement cost inputs
19 can be found on the ICM-FL CD in the FLMATL.DB and FLLABR.DB
20 tables, respectively.

21

22 **Q. HOW DOES ICM-FL SIZE CABLE CONSISTENT WITH VERIZON'S**
23 **ENGINEERING GUIDELINES?**

24 A. ICM-FL sizes feeder and distribution plant based on the ratio of installed
25 to working lines. For feeder, this ratio is based on the ratio of forecasted

1 lines at the midpoint of a four-year planning horizon to the current number
2 of lines in the network, and reflects the engineering practice of designing
3 feeder plant with the expectation that it will require reinforcement. Unlike
4 feeder plant, distribution plant is not designed with the expectation that it
5 will require reinforcement, and it is instead built to serve ultimate demand.
6 For distribution, the ratio of installed to working lines is based on an
7 assumption of 2.37 lines per lot. Within the ICM-FL documentation, these
8 ratios are also referred to as the engineering factors for feeder and
9 distribution, respectively. The ratios are user-adjustable inputs and the
10 details of their calculation are found on the ICM-FL CD. These values are
11 input under the Outside Plant tab of ICM-FL's Runtime Options user
12 interface.

13

14 **Q. WHY IS IT APPROPRIATE FOR VERIZON'S TELRIC ESTIMATES TO**
15 **EXCLUDE COMMON COSTS AND THE NONRECURRING COSTS OF**
16 **ESTABLISHING AND TERMINATING SERVICE?**

17 A. TELRICs, by definition, represent the costs that can be directly assigned
18 to an individual element. By comparison, common costs are those costs
19 that are necessary for the provisioning of elements and for the operation
20 of the company as a whole, but that cannot be directly assigned to
21 specific elements. The identification of Verizon's common costs is an
22 integral part of the development of the operating expenses modeled by
23 ICM-FL. ICM-FL's operating expenses are based on a combination of
24 Activity Based Cost (ABC) factors and expense to investment factors
25 (E/I). Activity Based Costs are developed from the study of work activities

1 related to specific BNFs, UNEs or services. The E/I factors are developed
2 by mapping 2000 ARMIS data at the work center/FCC account level detail
3 into cost pools. One of these cost pools, the common cost pool,
4 identifies costs that cannot be directly attributed to specific elements or
5 groups of elements. In addition, billing and collection costs not reflected
6 elsewhere, and line-of-business administrative and information
7 management costs, are identified as common costs. The costs so
8 identified are excluded from the operating expenses modeled by ICM-FL.
9 Similarly, expenses associated with nonrecurring activities are not
10 included in ICM-FL's modeled operating expenses. The development of
11 Verizon's nonrecurring costs is explained in the testimony of Verizon
12 witness Larry Richter.

13

14 **Q. DOES THIS CONCLUDE YOUR DIRECT TESTIMONY?**

15 **A.** Yes, it does.

16

17

18

19

20

21

22

23

24

25

1 BY MR. HUTHER:

2 Q Mr. Tucek, did you also cause to be filed Verizon's
3 integrated cost model, otherwise referred to as ICM-FL, and the
4 associated recurring cost study?

5 A Yes, I did.

6 Q And is the cost model and the associated cost study
7 designated as confidential?

8 A Yes, it is.

9 MR. HUTHER: I would like to have Verizon's
10 integrated cost model and the associated recurring cost study
11 marked at Hearing Exhibit 50.

12 CHAIRMAN JABER: Mr. Huther, help me out here. Are
13 these one of the cost models DGT-1 through 6?

14 MR. HUTHER: No, this should have been designated in
15 the prehearing order, I believe, as DGT-3.

16 MR. FUDGE: It's on Page 67.

17 CHAIRMAN JABER: Thank you.

18 MR. HUTHER: And it is designated in that order as
19 just ICM-FL, but so the record is clear it is both the cost
20 model and the associated cost study.

21 CHAIRMAN JABER: Thank you. Exhibit 50 is identified
22 as DGT-3, and they are the cost models.

23 (Exhibit 50 marked for identification.)

24 MR. HUTHER: Thank you, Madam Chair.

25 BY MR. HUTHER:

1 Q Mr. Tucek, did you cause to be filed surrebuttal
2 testimony consisting of 85 pages and six exhibits?

3 A Yes.

4 Q Was this testimony prepared by you or under your
5 direction and control?

6 A It was.

7 Q Did you also cause to be filed corrections to Page 73
8 of your prefiled surrebuttal testimony on April 25th, 2002?

9 A I did.

10 Q Are there any other changes or corrections you would
11 like to make to your prefiled surrebuttal testimony?

12 A No.

13 Q Other than the change that you have identified, if I
14 were to ask you the questions contained in your prefiled
15 surrebuttal testimony would your answers be the same today?

16 A Yes.

17 MR. HUTHER: May I please have Mr. Tucek's prefiled
18 surrebuttal testimony inserted into the record as though read.

19 CHAIRMAN JABER: The surrebuttal testimony of David
20 G. Tucek will be inserted into the record as though read.

21 MR. HUTHER: Thank you.

22 BY MR. HUTHER:

23 Q Mr. Tucek, did you cause to be filed a correction to
24 Surrebuttal Exhibit DGT-6 on April 25th, 2002?

25 A Yes, I did.

1 Q Other than that change, are the exhibits to your
2 prefiled surrebuttal exhibits true and correct to the best of
3 your knowledge?

4 A They are.

5 Q Are any of your prefiled surrebuttal exhibits
6 confidential?

7 A Surrebuttal Exhibit DGT-5 is confidential. We filed
8 both a confidential copy and a redacted copy.

9 MR. HUTHER: Madam Chair, if I may have Mr. Tucek's
10 surrebuttal exhibits designated as DGT-1 through DGT-6,
11 including the public version of DGT-5, collectively marked as
12 Hearing Exhibit 50. I'm sorry, 51.

13 CHAIRMAN JABER: DGT-1 through DGT-6 will be
14 identified as Composite Exhibit 51, and those are the
15 nonconfidential exhibits.

16 MR. HUTHER: May I also have the confidential Exhibit
17 DGT-5 marked as Hearing Exhibit 52.

18 CHAIRMAN JABER: DGT-5 confidential is Exhibit 52.
19 (Composite Exhibit 51 and Exhibit 52 marked for
20 identification.)

21 MR. HUTHER: Thank you.
22
23
24
25

1 **SURREBUTTAL TESTIMONY OF DAVID G. TUCEK**

2

3 **INTRODUCTION**

4

5

6 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

7 A. My name is David G. Tucek. My business address is 1000 Verizon
8 Drive, Wentzville, MO 63385.

9

10 **Q. ARE YOU THE SAME DAVID G. TUCEK WHO PREVIOUSLY FILED**
11 **DIRECT TESTIMONY IN THIS DOCKET?**

12 A. Yes, I am.

13

14 **Q. WHAT IS THE PURPOSE OF YOUR SURREBUTTAL TESTIMONY?**

15 A. My surrebuttal testimony responds to the rebuttal testimonies of Dr.
16 August A. Ankum and Mr. Warren R. Fischer filed on behalf of the carriers
17 collectively known as the ALEC Coalition. With respect to both of these
18 witnesses' testimonies, my surrebuttal testimony addresses those issues
19 dealing with Verizon Florida Inc.'s (Verizon) long-run, forward-looking
20 economic cost model, ICM-FL. Other Verizon witnesses will address Dr.
21 Ankum's and Mr. Fischer's recommendations concerning rate
22 deaveraging, depreciation and the cost of capital.

23

24 **Q. WHAT EXHIBITS ARE YOU SPONSORING?**

25 A. I am sponsoring the following six exhibits:

- 1 (1) Surrebuttal Exhibit DGT-1, "Comparison of ICM-FL Modeled
2 Investment with Reproduction Cost";
- 3 (2) Surrebuttal Exhibit DGT-2, "Impact of Market Segmentation on
4 DS-1 Requirements";
- 5 (3) Surrebuttal Exhibit DGT-3, "Difference Between a 4:1 and a 6:1
6 Concentration Ratio";
- 7 (4) Surrebuttal Exhibit DGT-4, "Impact of High Target Fill Factors";
- 8 (5) Surrebuttal Exhibit DGT-5, "Comparison of Modeled Investment
9 per Line"; and,
- 10 (6) Surrebuttal Exhibit DGT-6, "Impact of C. A. Turner and Calibration
11 on Fixed Allocator".

12

13 Note that Surrebuttal Exhibit DGT-5 is confidential.

14

15 **Q. HOW IS THE REMAINDER OF YOUR SURREBUTTAL TESTIMONY**
16 **ORGANIZED?**

17 A. The remainder of my surrebuttal testimony is organized into five sections.
18 First, I address the fundamental flaw underlying many of Dr. Ankum's
19 recommendations relating to Verizon's cost study. Second, I point out
20 several inconsistencies, unsupported statements and misstatements of
21 fact contained in Dr. Ankum's rebuttal testimony. Third, I address Dr.
22 Ankum's specific allegations and recommendations concerning Verizon's
23 cost study. Fourth, I explain why the Commission should disregard Mr.
24 Fischer's recommendations concerning ICM-FL's use of the C. A. Turner
25 index and ICM-FL's calibration adjustment, as well as his comparison of

1 Verizon's fixed allocator with that of BellSouth. Finally, I present a
2 summary of my surrebuttal testimony and highlight the reasons why the
3 Commission should disregard Dr. Ankum's and Mr. Fischer's
4 recommendations.

5
6 **DR. ANKUM'S REBUTTAL TESTIMONY SUFFERS**
7 **FROM A FUNDAMENTAL FLAW**

8
9 **Q. WHAT FUNDAMENTAL FLAW UNDERLIES DR. ANKUM'S**
10 **REBUTTAL TESTIMONY?**

11 A. Dr. Ankum argues that TELRIC estimates must be based on a totally
12 hypothetical network. For example, Dr. Ankum makes the following
13 assertions and recommendations in his rebuttal testimony:

- 14
15 (1) Remote terminals (RTs) should be placed as close to the customer
16 as possible (Ankum Rebuttal, p.6);
17
18 (2) The use of copper should be decreased and the use of fiber
19 should be increased (Ankum Rebuttal, p 7);
20
21 (3) The GTD-5 switch should be eliminated from Verizon Florida's
22 modeled network (Ankum Rebuttal, p. 9);
23
24 (4) Verizon's NRC study should presume that the former GTE service
25 ordering centers are consolidated with Verizon's, whether they

1 actually are or not (Ankum Rebuttal, p. 15);

2
3 (5) TELRIC-based switching rates should be based only on cutover
4 switch prices, and should not reflect the pricing for additions to
5 existing switches (Ankum Rebuttal, pp. 83-84).

6
7 While each of the above recommendations is flawed in its own right,
8 taken together, they make clear that Dr. Ankum advocates basing
9 TELRIC estimates and UNE rates on a network that is disconnected from
10 the real world, and that is completely unlike the network from which the
11 UNEs will be provisioned. Dr. Ankum's disregard for the characteristics of
12 the real network indicates that he is unconcerned with the costs that
13 Verizon will incur in provisioning UNEs.

14
15 **Q. ARE THERE OTHER PORTIONS OF DR. ANKUM'S REBUTTAL**
16 **TESTIMONY THAT INDICATE HE IS NOT CONCERNED WITH THE**
17 **CHARACTERISTICS OF THE REAL NETWORK, OR WITH THE**
18 **COSTS VERIZON WILL INCUR IN PROVISIONING UNES?**

19 **A.** Yes. Dr. Ankum makes several recommendations concerning fill factors
20 for various components of the network. These recommendations share
21 two characteristics. First, they are unsupported by any reference to
22 Verizon's Florida network. Second, with the exception of Dr. Ankum's
23 completely unsupported recommendation for conduit, the recommended
24 values are all in excess of 75 percent. In making these fill factor
25 recommendations, Dr. Ankum is advocating a network operating nearly at

1 capacity and ignores, as I explain below, the impact of discrete facility
2 sizes on fill factors.

3
4 Additionally, at page 82 of his rebuttal testimony, Dr. Ankum relies on a
5 partial excerpt of Paragraph 685 from the FCC's Local Competition Order
6 to support his position that the switch prices underlying Verizon's TELRIC
7 estimates should reflect the assumption that Verizon is completely
8 rebuilding its switch network. In presenting only an excerpt as if it were
9 the entire paragraph, Dr. Ankum has misdirected the Commission's
10 attention away from the FCC's stated intent for the TELRIC standard.
11 This is easily seen by reading the entire paragraph:

12
13 Under the third approach, prices for interconnection and
14 access to unbundled elements would be developed from a
15 forward-looking economic cost methodology based on the
16 most efficient technology deployed in the incumbent LEC's
17 current wire center locations. This approach mitigates
18 incumbent LECs' concerns that a forward-looking pricing
19 methodology ignores existing network design, while basing
20 prices on efficient, new technology that is compatible with
21 the existing infrastructure. *This benchmark of forward-*
22 *looking cost and existing network design most closely*
23 *represents the incremental costs that incumbents actually*
24 *expect to incur in making network elements available to*
25 *new entrants.* Moreover, this approach encourages

1 facilities-based competition to the extent that new entrants,
2 by designing more efficient network configurations, are able
3 to provide the service at a lower cost than the incumbent
4 LEC. We, therefore, conclude that the forward-looking
5 pricing methodology for interconnection and unbundled
6 network elements should be based on costs that assume
7 that wire centers will be placed at the incumbent LEC's
8 current wire center locations, but that the reconstructed
9 local network will employ the most efficient technology for
10 reasonably foreseeable capacity requirements.
11 (Implementation of the Local Competition Provisions in the
12 Telecommunications Act of 1996, First Report and Order,
13 11 FCC Rcd. 15499 (1996) ("First Report and Order")
14 [*emphasis added*]).

15
16 It is clear from reading the entire paragraph that the FCC intended
17 TELRIC to estimate the costs ILECs expect to incur in providing UNEs
18 out of their own networks, not out of some fantasy or hypothetical
19 network. To argue that the inputs for switch prices -- or any other input --
20 must be developed as if the network is built all at once just because the
21 FCC only specified that wire center locations must be fixed, is both self-
22 serving and plainly contrary to the FCC's intent. This is true even if the
23 model employed designs the network all at once -- to be useful, costs
24 must be grounded in reality and model inputs must reflect actual
25 experience.

1 **Q. HAS THE COMMISSION DETERMINED THAT COSTS AND MODEL**
2 **INPUTS MUST BE GROUNDED IN REALITY?**

3 A. Yes. In Docket Number 980696-TP, AT&T argued that the modeled
4 sharing percentage for buried plant should exceed actual experience
5 because sharing opportunities will be greater in a UNE environment, and
6 because opportunities exist for sharing with other industries in a scorched
7 node environment. The Commission disagreed:

8
9 While this proceeding is to determine the cost of a forward-
10 looking scorched node network, there needs to remain a
11 basis in reality if the costs developed for the network are to
12 have any relevance to the cost of basic local telephone
13 service. We believe that assuming sharing percentages
14 which require, for example, power and cable TV companies
15 to rebuild their networks so that more of the cost of a
16 telephone network can be shifted to other industries, means
17 a network severed from reality.

18 (Order, Docket No. 980696-TP (January 7, 1999), p. 129).

19
20 **Q. DOES ICM-FL MODEL VERIZON'S EXISTING FLORIDA NETWORK?**

21 A. No, but it comes closer to this than any other model of Verizon's Florida
22 network that has been provided to this Commission. As I explained in my
23 direct testimony (pp. 3-4), unlike earlier versions of ICM, ICM-FL does not
24 model digital loop carrier (DLC) locations by imposing a copper-loop
25 length restriction, and the end-office assignments in ICM-FL's modeled

1 SONET rings do not assume every hub office is an access tandem.
 2 These changes cause the network modeled by ICM-FL to more closely
 3 resemble the network from which Verizon provisions UNEs in Florida.
 4

5 **Q. DOES ICM-FL PRODUCE UNREASONABLY HIGH UNE COSTS AND**
 6 **RATES AS DR. ANKUM CONTENDS AT PAGES 5-6 OF HIS**
 7 **REBUTTAL TESTIMONY?**

8 A. No. Dr. Ankum bases this contention, in part, on his claim that there are
 9 unspecified errors in ICM-FL, and on his comparison of Verizon's
 10 proposed UNE rates with those in other jurisdictions. This latter argument
 11 improperly ignores the differences among states and mistakenly assumes
 12 that UNE costs must be based on a hypothetical network that will never
 13 exist anywhere. Rather than look to the costs in other states, it is more
 14 useful to compare ICM-FL's modeled network and costs to Verizon's
 15 existing Florida network. For example, a comparison of modeled and
 16 actual sheath feet, in thousands, shows:

	Modeled	Actual	Variance
Fiber	13,552	22,247	-39.1%
Copper	<u>132,507</u>	<u>164,160</u>	-19.3%
Total	146,059	186,407	-21.6%

21
 22 In terms of the physical amount of sheath feet, ICM-FL models a much
 23 smaller, and therefore less costly, outside plant (OSP) network. Likewise,
 24 as shown in Surrebuttal Exhibit DGT-1, the level of investment modeled
 25 by ICM-FL compares favorably with the reproduction cost of the modeled

1 network. It is clear that ICM-FL does not model unreasonably high costs
2 when compared to Verizon's existing Florida network.

3

4 **Q. WHY IS THE REPRODUCTION COST OF THE EXISTING NETWORK A**
5 **USEFUL BENCHMARK AGAINST WHICH TO GAUGE ICM-FL'S**
6 **RESULTS?**

7 A. The key issue in this proceeding is cost -- particularly the cost of the
8 network as whole. While Dr. Ankum has criticized ICM-FL based on
9 certain specific characteristics, the first question that must be addressed
10 is how the cost of the modeled network compares to the existing network
11 overall. The only comprehensive way to answer this question is to
12 measure the network in terms of dollars. However, because the relative
13 prices of telephone plant change over time, book investment is not suited
14 for this purpose. The C. A. Turner indices measure this change in relative
15 prices by account and vintage year, and develop a dollar measure of the
16 reproduction cost of the existing network. If modeled investment is
17 substantially above the reproduction cost without some valid reason, then
18 the efficacy of the modeling process is called into question. As shown in
19 Surrebuttal Exhibit DGT-1, modeled investment is *below* the reproduction
20 cost. Accordingly, Dr. Ankum's broad charge that ICM-FL produces
21 unreasonably high rates and costs is demonstrably false.

22

23 **Q. WHY ARE ICM-FL'S MODELED INVESTMENT AND SHEATH FEET**
24 **LESS THAN THE EXISTING NETWORK'S REPRODUCTION COST**
25 **AND SHEATH FEET?**

1 A. The main reason is that the modeled network assumes a level of
2 optimization that will never be achieved in the real world. For example,
3 when ICM-FL models the fiber routes connecting DLCs to the central
4 office, it assumes that all fibers -- including those used for interoffice fiber
5 routes -- share the same sheath to the fullest extent possible. Likewise,
6 when DLCs are sized, ICM-FL places the smallest DLC capable of
7 serving the required number of lines. In the real world, the network grows
8 incrementally, so that multiple fiber sheaths may be placed along the
9 same route, or more than one DLC may be placed to serve a group of
10 customers even though only one is required given current demand.

11

12 These outcomes result from the assumption that the network is built all at
13 once, thereby causing the modeled placement and material costs to be
14 understated. Cost models making this assumption, including ICM-FL,
15 also assume economies of scope and scale that will never be realized.
16 Consequently, the resulting cost estimates must be viewed as a lower
17 bound on the forward-looking incremental costs of provisioning UNEs to
18 new entrants. (See Tucek Direct, pp. 20-22). This basic model
19 characteristic must be kept in mind when considering arguments that
20 decrease estimated costs in the name of achieving greater efficiency or a
21 more optimal design.

22

23

24

25

1 **DR. ANKUM'S REBUTTAL TESTIMONY IS INTERNALLY**
2 **INCONSISTENT, MISSTATES FACTS, AND CONTAINS UNSUPPORTED**
3 **STATEMENTS AND RECOMMENDATIONS**
4

5 **Q. WHAT DOES THIS PORTION OF YOUR SURREBUTTAL TESTIMONY**
6 **ADDRESS?**

7 A. This portion of my surrebuttal testimony addresses inconsistencies
8 among the recommendations and positions advocated by Dr. Ankum. I
9 also point out certain unsupported statements and recommendations, as
10 well as misstatements of fact, made by Dr. Ankum. My intent here is to
11 ensure the Commission's record is as clear and accurate as possible. I
12 do not speculate on the reasons why Dr. Ankum's rebuttal testimony
13 contains these misstatements.

14
15 **Q. HOW IS DR. ANKUM'S REBUTTAL TESTIMONY INCONSISTENT?**

16 A. There are five major inconsistencies in Dr. Ankum's recommendations.
17 The first inconsistency has to do with his recommended 6:1 concentration
18 ratio for DLCs, and his contention that these remote terminals should be
19 pushed further into the network so that they are closer to the end-users.
20 (Ankum Rebuttal, pp. 8 and 6). If this were done, either in the real
21 network or in the modeled network, the average DLC size would
22 necessarily decrease. As I explain below, the use of a 6:1 concentration
23 ratio has no effect on the number of DS-1s required to serve small DLCs.
24 Consequently, pushing DLCs further into the network decreases the
25 average realized concentration ratio, and is contrary to Dr. Ankum's

1 proposal to use 6:1 concentration everywhere.

2

3 The second inconsistency in Dr. Ankum's rebuttal testimony relates to his
4 recommendation that remote terminals be pushed further in the network,
5 and to his criticism of Verizon's unbundled DS-1 study. (Ankum Rebuttal,
6 pp. 59 and 62). Dr. Ankum's main complaint concerning Verizon's
7 unbundled DS-1 study is that the fill factor used to develop the cost for
8 the 28 DS-1 fiber system is too low. However, as I explain below, this fill
9 factor is based on Verizon's actual experience in placing these systems
10 close to end-user locations. Dr. Ankum is trying to have it both ways: he
11 levies an unsupported criticism against the DLC placement underlying the
12 unbundled loop costs, and then complains about the fill factors that result
13 when remote terminals are pushed further into the network.

14

15 The third inconsistency concerns Dr. Ankum's position that integrated
16 digital loop carriers (IDLCs) should be used when modeling an unbundled
17 loop. (Ankum Rebuttal, p. 51). As I explain below, all of the hypothetically
18 viable IDLC unbundling solutions require that the traffic be delivered at a
19 DS-1 level. This means that in order to provision completely utilized DS-
20 1s to an ALEC, the number of unbundled loops that an ALEC orders out
21 of a given DLC must be a multiple of 24. This is an outcome whose
22 likelihood decreases with the size of the DLC and with increases in the
23 number of ALECs. Consequently, Dr. Ankum's proposal to model IDLCs
24 would increase the number of DS-1s required for each IDLC. This in turn
25 decreases the realized concentration ratio and is again contrary to his

1 proposal that a 6:1 concentration ratio be used everywhere.

2

3 The fourth inconsistency exists between his recommendations that the
4 Commission adopt the FCC's depreciation lives, and that the modeled
5 network assume complete replacement of existing switches with the most
6 current technology. (Ankum Rebuttal, pp. 107 and 84) If it were true that
7 an efficient and rational carrier would replace all of its existing switches
8 with the most current technology, then the required depreciation life for
9 digital switches would be much shorter than the 12 to 18 years prescribed
10 by the FCC and advocated by Dr. Ankum. Indeed, the depreciation life
11 would have to be shorter than the 10 years sponsored by Mr. Sovereign
12 in his direct testimony.

13

14 The fifth inconsistency exists between Dr. Ankum's recommendation that
15 all of Verizon's GTD-5 switches be replaced and his recommendation that
16 only cutover prices for initial switch placements be used to model switch
17 costs. (Ankum Rebuttal, pp. 75-78). On the surface, it seems to make
18 sense that, if the GTD-5 switches were replaced, then Dr. Ankum's
19 claimed cutover prices would be appropriate. This hasty conclusion,
20 however, fails to consider the ability of Verizon's other switch vendors to
21 build, deliver and install the required replacement switches within a short
22 timeframe. For Verizon, this would involve replacing the switches in 72
23 out of 90 wire centers in Florida. The problem is further complicated by
24 the need to replace exiting host/remote complexes simultaneously,
25 without any service disruptions. Presumably, if the wholesale

1 replacement of the GTD-5 switches is the correct course of action for
2 Verizon in Florida, then it is the correct action for the entire former GTE
3 footprint. In my opinion, the demands put on the other switch vendors
4 and on Verizon make it unlikely that existing switch prices could be
5 obtained under Dr. Ankum's view of what constitutes a proper TELRIC
6 study. Dr. Ankum's insistence on cutover prices is in direct conflict with
7 his insistence that Verizon's costs be modeled as if all GTD-5 switches
8 were replaced.

9

10 **Q. WHAT UNSUPPORTED STATEMENTS AND RECOMMENDATIONS**
11 **HAS DR. ANKUM MADE IN HIS REBUTTAL TESTIMONY?**

12 A. Dr. Ankum's Exhibit No. AHA-6 presents his recommendations for the fill
13 factors for several components of the local network. While he has offered
14 arguments (albeit unconvincing ones) for some of these fills, the
15 recommendation for conduit simply appears in this schedule with no
16 supporting discussion whatsoever in his rebuttal testimony. Dr. Ankum's
17 recommendation for drop lengths is, likewise, just a summary conclusion
18 that the lengths he recommends are appropriate. (Ankum Rebuttal,
19 p.57).

20

21 Dr. Ankum claims, incorrectly, that the drop is a very expensive portion of
22 the loop in ICM-FL. (Ankum Rebuttal, p. 39). He does not support this
23 statement in any way whatsoever, although ICM-FL offers him an easy
24 avenue to do so. It is possible to set ICM-FL's minimum and maximum
25 average drop length to one via the run time options screen, effectively

1 setting the length of all drop wires and entrance facilities to one foot.
2 When this is done, the TELRIC for the 2-wire loop decreases from \$22.94
3 to \$22.00 -- a decrease of less than one dollar. While this is not an
4 insignificant amount, it hardly supports Dr. Ankum's claim that the "drop is
5 a very expensive portion of the loop in ICM" or that ICM-FL assumes
6 excessively long drops.

7
8 Finally, Dr. Ankum contends, without support, that the objective fill for
9 feeder is 90 percent. (Ankum Rebuttal, p. 40). It is not clear what this
10 means, since Dr. Ankum apparently defines "objective fill" differently than
11 do other industry participants, including AT&T witnesses. The response
12 to Verizon Interrogatory Number 9 gave the following definition of
13 "objective fill":

14
15 The fill that can be sustained on a facility permanently,
16 accounting for maintenance, and administration, but not
17 future growth in customers for ultimate demand.

18
19 In the past, AT&T witnesses have given a very different definition of
20 "objective fill." In response to US West Data Request Number 6, in a
21 Washington UNE proceeding (Docket Nos. WUTC-960369, -370, -371),
22 AT&T witness John Klick defined objective fill as follows:

23
24 Objective fill is the approximate utilization level at which an
25 engineer begins looking at reinforcing the network to account

1 for growth in demand. This fill includes the spare capacity
2 needed for breakage, testing and administrative, and limited
3 growth. AT&T used the objective fill factor suggested by the
4 Commission in this proceeding.

5
6 In the same proceeding, AT&T witness Dean Fassett equated objective
7 fill with "fill at relief" and defined this as "the fill factor or percent utilization
8 which will trigger the engineer to study whether relief is necessary."
9 (Direct Testimony of Dean Fassett, p. 15). Thus, not only is Dr. Ankum's
10 statement that the objective fill for feeder is 90 percent unsupported, but
11 his definition of "objective fill" is unsupported as well.

12
13 **Q. WHAT MISSTATEMENTS OF FACT HAS DR. ANKUM MADE IN HIS**
14 **REBUTTAL TESTIMONY?**

15 A. I found eight worth mentioning here. First Dr. Ankum erroneously states
16 that "use of a secondary SAI (serving area interface) increases the use of
17 copper facilities." (Ankum Rebuttal, p. 7). If Dr. Ankum understood the
18 purpose of an SAI, he would know that this cannot be the case. For
19 example, suppose that there are three 50-pair copper cables, each
20 serving 26 customers and that each of these cables meets at an SAI as
21 we trace their route from the end-users to the wire center. The SAI, also
22 called a cross-connect box, allows the three 50-pair cables to be
23 terminated, with their working loops being served by one or more larger
24 cables. In this example, beyond the SAI, the 78 working lines would be
25 served by a single 100-pair cable, instead of the three 50-pair cables.

1 Thus, it is clear that SAIs reduce the amount of copper cable needed in
2 the network.

3
4 Second, Dr. Ankum asserts that Verizon's model assumes that customers
5 are equally distributed throughout a fixed arbitrary grid and that the model
6 builds plant to locations where no customers exist. (Ankum Rebuttal, pp.
7 8 and 58). This is not true. ICM-FL models the amount of copper
8 distribution and feeder plant based on the amount of road feet in a given
9 wire center, where the road feet measure includes only those types of
10 roads along which one would expect end users to be located. Moreover,
11 as I just noted, the total modeled sheath feet is more than 20 percent less
12 than the sheath feet in the existing network. This is hardly the result one
13 would expect if ICM-FL built plant to locations where no customers exist.

14
15 Third, Dr. Ankum states that Verizon's common cost study is conducted
16 externally to ICM-FL. (Ankum Rebuttal, p. 36). This is not accurate,
17 since the identification of Verizon's common costs goes hand in hand with
18 the development ICM-FL's modeled expenses. Even though Dr. Ankum
19 does not address common costs in his rebuttal testimony, this point is
20 worth noting to highlight the linkage between ICM-FL and the common
21 cost allocator sponsored by Verizon witness Dennis Trimble. Many of Dr.
22 Ankum's recommendations, if implemented, would decrease the direct
23 costs modeled by ICM-FL. Such changes would require a recalculation of
24 the common cost allocator to account for the decrease in the denominator
25 of the common-to-direct cost ratio.

1

2

Fourth, Dr. Ankum states that ICM-FL places DLCs beyond a pre-determined fiber-copper crossover point, and that in many instances the DLC equipment only serves a few customers. (Ankum Rebuttal, p. 27).

3

4

Again, this is not true. As I explained above, and in my direct testimony,

5

6

ICM-FL does not use a copper loop-length restriction to determine the number or locations of DLCs. (Tucek Direct, p. 3). Moreover, except for

7

8

the smallest DLC size (24 lines), the DLCs modeled by ICM-FL have an average fill in excess of 70 percent -- overall the DLC fill equals 95

9

10

percent. Finally, ICM-FL only models eight 24-line DLCs in Verizon's entire Florida network. Setting the material and placement costs

11

12

associated with these DLCs to zero decreases the statewide average 2-wire loop TELRIC by less than a penny.

13

14

15

Fifth, Dr. Ankum states that ICM-FL places three drops to every residential unit. (Ankum Rebuttal, p. 38). In response to Verizon

16

17

Interrogatory 8 asking for support of this statement, the ALEC Coalition

18

19

pointed to pages 13-15 of Book II of ICM-FL's Model Methodology. However, the cited documentation makes it clear that ICM-FL places only

20

21

one drop to each residential location:

22

23

If the number of residential units in a demand unit is less

24

than 500, then single family dwellings with drop wires are

25

assumed. User input determines the size of the drop wire (3 or 5 pair). The 500-line threshold is also a user input. The

1 number of drop wires is equal to the number of residential
2 units. (ICM Model Methodology, Release ICM-FL, Loop
3 Module, Book II of VII, p. 13.)
4

5 Clearly, Dr. Ankum has confused a 3-pair drop with three individual drops.
6 Since the "number of drop wires is equal to the number of residential
7 units," it is impossible for ICM-FL to model three drops for each
8 residential unit as Dr. Ankum claims.
9

10 Sixth, Dr. Ankum presents a fabricated example in which he portrays the
11 total cost of a DLC to remain unchanged, even though the number of
12 lines served increases. (Ankum Rebuttal, p. 52). This is not an accurate
13 representation of DLC costs. As the number of lines served by a DLC is
14 increased, the total cost will increase because, among other things,
15 additional line cards will be needed, the required cabinet size increases,
16 and the site preparation costs may change.
17

18 Seventh, Dr. Ankum incorrectly states that the GTD-5 is "produced" by
19 GTE. (Ankum Rebuttal, p. 74). This is not true. The GTD-5 is
20 manufactured by AGCS, Inc., which is a subsidiary of Lucent. This is
21 easily verified by visiting AGCS's web site at "<http://www.agcs.com/>".
22

23 Finally, Dr. Ankum claims that "Verizon has based its switching studies on
24 the discounts that it will receive for growth lines.As such, Verizon
25 appears to ignore large numbers of facilities that would receive the large

1 discounts if and when switches are newly installed.” (Ankum Rebuttal, p.
2 77). In support of this position, he cites my direct testimony at page 6,
3 lines 8-11. However, that portion of my testimony states:

4
5 In particular, the switching costs produced by ICM-FL are
6 based on the host/remote relationships and technology mix
7 found in Verizon’s network, and on the switch prices that
8 Verizon is able to obtain today and for the foreseeable
9 future.

10
11 Moreover, at page 17, lines 8-13, of my direct testimony, I state:

12
13 The Switch Module calculates the investment needed to
14 provide the circuit connections for completing telephone
15 calls. The switch module designs a network based on
16 Verizon’s existing wire center locations, host/remote
17 relationships, and the digital switch types that Verizon
18 deploys in its network. *Costs are based on the current*
19 *prices Verizon pays for initial switch placements and*
20 *expansions. (Emphasis added.)*

21
22 I cannot speculate on the reasons why Dr. Ankum’s rebuttal testimony
23 contains these misstatements, but it is important that the Commission has
24 an accurate understanding of the facts so that its evidentiary record is
25 reliable.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

**DR. ANKUM'S SPECIFIC ALLEGATIONS AND
RECOMMENDATIONS ARE FLAWED**

**Q. WHAT PORTIONS OF DR. ANKUM'S REBUTTAL TESTIMONY DOES
THIS SECTION OF YOUR SURREBUTTAL TESTIMONY ADDRESS?**

A. This portion of my surrebuttal testimony addresses the specific allegations and recommendations Dr. Ankum makes with respect to Verizon's recurring cost study. In particular, I address the following issues:

- (1) Dr. Ankum's claim that Verizon's cost studies should reflect the post-merger environment;
- (2) Dr. Ankum's charge that ICM-FL is not open and auditable;
- (3) Dr. Ankum's recommendations concerning fill factors and growth capacity;
- (4) Dr. Ankum's claims concerning the use of IDLCs and the GR 303 interface to unbundle loops;
- (5) Dr. Ankum's recommendation that a 6:1 concentration ratio be assumed for ICM-FL's modeled DLCs;
- (6) Dr. Ankum's allegation that ICM-FL's modeled drop lengths are too long;
- (7) Dr. Ankum's criticisms of ICM-FL's modeling of customer locations;
- (8) Dr. Ankum's claim that ICM-FL does not take advantage of the efficiencies of fiber facilities;

- 1 (9) Dr. Ankum's allegations concerning DLC placement costs;
- 2 (10) Dr. Ankum's allegations concerning Verizon's cost study for
- 3 unbundled DS-1 loops;
- 4 (11) Dr. Ankum's claim that Verizon should file a cost study for EELs;
- 5 (12) Dr. Ankum's claim that the GTD-5 is not a forward-looking switch;
- 6 (13) Dr. Ankum's recommendations concerning the switch pricing used
- 7 to model switch costs; and,
- 8 (14) Dr. Ankum's claim that feature costs are not usage-sensitive and
- 9 should be recovered on a flat-rate basis.
- 10

11 With respect to issue (1), I also respond to Mr. Fischer's claim that the

12 common cost factor used by Verizon in this proceeding should reflect the

13 savings anticipated from the merger between Bell Atlantic and GTE.

14

15 Finally, in discussing many of these issues below, I report the cost

16 estimates produced by ICM-FL if the modifications consistent with Dr.

17 Ankum's recommendations are made. I report these results only to

18 quantify the relative importance of Dr. Ankum's recommendations for the

19 Commission. The fact that the results are presented in my surrebuttal

20 testimony does not imply that I or Verizon endorse any of Dr. Ankum's

21 recommendations.

22

23 **Merger-Related Savings**

24

25 **Q. PLEASE COMMENT ON DR. ANKUM'S CLAIM THAT VERIZON'S**

1 **COST STUDY SHOULD REFLECT THE POST-MERGER**
2 **ENVIRONMENT.**

3 A. Dr. Ankum makes this claim at several places in his rebuttal testimony.
4 At page 6, he claims that Verizon Florida should be able to capitalize on
5 the efficiencies of scale and scope afforded by the size of the largest
6 ILEC in the country. At page 12, he enjoins the Commission to evaluate
7 Verizon's cost studies against the "standards that applys [sic] to *Verizon*
8 *as the nations' [sic] largest ILEC.*" At page 16 of his rebuttal testimony,
9 Dr. Ankum states that "the old practice of protecting GTE as a smaller
10 and more rural company is no longer appropriate."

11
12 I am not aware of any instance in which this Commission has protected
13 GTE as "a smaller and more rural company." Additionally, the number of
14 wire centers and lines served by Verizon in Florida has not changed as a
15 result of the merger, nor have the local markets in which Verizon
16 purchases labor. At least with respect to local operations, there have
17 been no increased economies of scope and scale.

18
19 **Q. IS IT REASONABLE TO EXPECT THAT THE SAVINGS FROM THE**
20 **MERGER COULD BE IMMEDIATELY REALIZED UPON THE**
21 **MERGER'S COMPLETION?**

22 A. No. The savings resulting from the merger were not expected to be
23 achieved immediately. Page 3 of Mr. Fischer's exhibit WRF-6 makes it
24 clear that the merger savings were not expected to be realized until three
25 years after the merger's completion. The merger transaction was not

1 closed until July, 2000.

2

3 **Q. DOES VERIZON'S COST STUDY REFLECT AN ADJUSTMENT FOR**
4 **THE SAVINGS RESULTING FROM THE MERGER BETWEEN GTE**
5 **AND BELL ATLANTIC?**

6 A. Yes. The expense inputs for ICM-FL reflect a downward adjustment of
7 \$36.4 million in merger-related expense savings. This adjustment is
8 shown in the schedule labeled Attachment I.a.5 in the "Section 5.pdf" file
9 contained in Verizon's cost study filing. More than half of this amount is
10 a reduction in the common costs modeled by ICM-FL -- without the
11 adjustment for the merger savings, the fixed allocator would be almost
12 150 basis points higher. Consequently, Mr. Fischer's claim that Verizon's
13 common costs should be adjusted to reflect the benefits of the Bell
14 Atlantic / GTE merger are unfounded. (Fischer Rebuttal, pp. 23-24).

15

16

ICM-FL Is Open and Auditable

17

18 **Q. IS DR. ANKUM CORRECT WHEN HE CLAIMS THAT ICM-FL IS NOT**
19 **OPEN AND AUDITABLE?**

20 A. No. Dr. Ankum acknowledges that he has access to ICM-FL's code, but
21 claims that the model is not sufficiently flexible to allow model auditing
22 and inputting of different assumptions. (Ankum Rebuttal, p. 26) Nothing
23 could be further from the truth. Nearly all of ICM-FL's inputs are user-
24 adjustable, including material and placement costs, cable and DLC sizes,
25 the ratio of installed-to-working lines, the amount of administrative fill,

1 depreciation lives, the cost of money, and the minimum and maximum
2 average drop lengths. As I explain below, ICM-FL is sufficiently flexible to
3 see the impact of Mr. Fischer's recommendations concerning the C. A.
4 Turner indices. Even the size of the drop can be changed to 2 pairs as
5 Dr. Ankum recommends in his rebuttal testimony: one need only
6 populate the input for the cost of a 5-pair drop with the corresponding 2-
7 pair drop cost and run the model with the 5-pair option selected. (I report
8 the results of this exercise below, in my discussion of Dr. Ankum's
9 recommendations for drop costs.) In short, Dr. Ankum's claim that it is
10 not possible to vary the inputs and compare the outcomes of various
11 scenarios is simply not true.

12
13 **Q. SHORT OF MODIFYING THE CODE, IS IT POSSIBLE TO VARY**
14 **EVERY INPUT AND ASSUMPTION CONTAINED WITHIN ICM-FL?**

15 A. No. But such a standard of flexibility is substantially more stringent than
16 AT&T and MCI have advocated in the past. For example, in a previous
17 UNE proceeding in Washington, AT&T/MCI witness Mercer implied that
18 AT&T's Hatfield Model was superior because it had "many tens of
19 thousands of inputs" even though there were only around 660 inputs
20 "specifically present[ed] for users to vary". (Docket Nos. WUTC-960369, -
21 370, -371, *Hearing Transcripts* (July, 1997) at p. 371). Contrary to Dr.
22 Ankum's apparent view, not every underlying input or assumption in a
23 model needs to be user-adjustable in order for AT&T and MCI to support
24 its use.

25

1 Q. IS DR. ANKUM'S COMPLAINT THAT ICM-FL IS NOT SPREADSHEET
2 BASED LEGITIMATE?

3 A. No. ICM-FL is a code-based model written in Delphi Pascal, which is a
4 commercially available development environment for Windows-based
5 Pascal applications. It may be true that Dr. Ankum does not have the
6 ability or expertise to modify ICM-FL's code, but this does not mean that
7 none of the employees or consultants of AT&T, MCI or other members of
8 the ALEC Coalition do not. The code has been made available in both
9 PDF and text file form, and the skills and other resources needed to
10 modify it are easily obtained on the open market.

11
12 More to the point, Dr. Ankum's complaint about ICM-FL's code-based
13 platform is belied by AT&T's own actions. The model sponsored by
14 BellSouth in this proceeding has a mixed code- and spreadsheet-based
15 platform, utilizing C++, Visual Basic, and Excel. While AT&T has voiced
16 some concerns about BellSouth's model, it is my understanding that they
17 have not complained about the code-based portions of the model
18 specifically on the grounds that they are code-based. Similarly, AT&T
19 and MCI WorldCom have sponsored a modified version of the FCC's
20 federal universal service cost model (HCPM or Synthesis Model) in UNE
21 proceedings in Virginia, Maryland and Pennsylvania. This is significant
22 because AT&T has modified the coding in the loop portion of the model --
23 a portion that has a code-based platform utilizing Turbo Pascal --
24 allegedly to make the model UNE compliant. (Turbo Pascal is an
25 outdated Pascal development environment that is no longer commercially

1 available in the United States. The manufacturer, Borland, recommends
2 Delphi Pascal for Windows applications.) The fact that a model's platform
3 is code-based certainly has not prevented some members of the ALEC
4 Coalition from advocating its use when it suited their purposes.

5

6 **Q. ARE THERE CRITICAL ASSUMPTIONS EMBEDDED IN ICM-FL'S**
7 **CODE THAT DEAL WITH CONTROVERSIAL ISSUES AS DR. ANKUM**
8 **CLAIMS?**

9 A. No. I have participated in TELRIC proceedings since the fall of 1996. In
10 my opinion, the controversial issues have been limited largely to the
11 following topics:

- 12 (1) modeling of customer locations;
13 (2) assumptions regarding fill factors;
14 (3) inputs dealing with depreciation and the cost of money;
15 (4) inputs dealing with placement and material costs; and
16 (5) network design assumptions.

17

18 I discuss issues (1) and (2) below and show that, with one exception, the
19 assumptions are not embedded in ICM-FL's code. The inputs at issue in
20 items (3) and (4) are easily adjustable in ICM-FL. With respect to item
21 (5), the disagreement generally focuses on the assumed level of structure
22 sharing, the DLC configuration modeled in a UNE environment, and on
23 the switching technology used. The level of structure sharing in ICM-FL
24 is determined by user inputs changed via the run time options screen,
25 and is not embedded in ICM-FL's code. Similarly, the DLC and switching

1 technology inputs are not embedded in ICM-FL's code. Dr. Ankum will no
 2 doubt disagree with me on what a list of controversial issues should
 3 include. I note, however, that in response to Verizon's interrogatories, the
 4 ALEC Coalition declined to identify any issues beyond those mentioned in
 5 Dr. Ankum's testimony and did not characterize any as "controversial."

6
 7

Dr. Ankum's Fill Factor Recommendations
Should Not Be Adopted

8
 9

10 **Q. SHOULD THE COMMISSION ACCEPT DR. ANKUM'S**
 11 **RECOMMENDATIONS REGARDING FILL FACTORS?**

12 A. No. As I noted earlier, Dr. Ankum's recommended fills are very high -- he
 13 would have this Commission base costs on a network operating close to
 14 capacity. More important, Dr. Ankum seems to labor under the incorrect
 15 assumption that ICM-FL contains hidden calculations that rely on the fills
 16 for distribution, feeder, drops, COTs, RTs, channel units and conduit to
 17 size telecommunications plant and calculate costs. He seems to not
 18 understand that, for example, the distribution fills reported by ICM are
 19 results and not inputs. (The distribution and feeder fills reported by ICM-
 20 FL are calculated as described in Verizon's response to Staff Data
 21 Request 75; this response was provided at the time Verizon's cost study
 22 was filed.) The only fill factor input that ICM-FL's loop module relies upon
 23 is an administrative fill input of 0.98, which allows 2 percent fill for
 24 administrative spare. Additionally, the development of the DLC material
 25 inputs for line cards is based on provision for 4.76 percent administrative

1 spare. Both of these fill factors can be changed, either directly via the run
2 time options screen or by modifying the per-line inputs for DLCs in ICM-
3 FL's material inputs table. Finally, entrance cables are sized based on an
4 assumed fill of 50 percent. While this assumption is embedded in ICM-
5 FL's code, it is possible to change it by modifying the material inputs
6 table.

7

8 **Q. HAVE AT&T AND MCI SPONSORED A MODEL THAT PRODUCES**
9 **FILL FACTORS THAT ARE MUCH DIFFERENT THAN THOSE**
10 **RECOMMENDED BY DR. ANKUM?**

11 A. Yes, but not in this proceeding. In other states, and in Florida Docket
12 Number 980696-TP, AT&T and MCI have sponsored the HAI Model (also
13 known as the Hatfield Model). The HAI Model sizes cable based on
14 cable-sizing inputs that range from a low of 50 percent to a high of 75
15 percent for distribution cable, and from 65 to 80 percent for copper feeder
16 cable. The model sizes cable by dividing the required demand by the
17 sizing input, and then modeling the cost of the next largest cable size.
18 The resulting effective fill factors are about two-thirds of the cable sizing
19 input. For example, if the sizing input were 75 percent, and a cable to
20 serve 39 customers were needed, a 100-pair cable would be chosen and
21 the resulting fill would be 39 percent. Since the maximum cable sizing
22 factor used in the HAI Model is 80 percent, it is clear that Dr. Ankum's
23 recommended fill factors -- at least for distribution and copper feeder
24 cables -- are substantially higher than those espoused by AT&T and MCI
25 in other proceedings. Indeed, in Verizon's Massachusetts UNE

1 proceeding (Case Number DTE 01-20 (Part A)), AT&T witness John
2 Donovan testified that the HAI Model produced an average effective of fill
3 of 48.3 percent for Verizon's Massachusetts network. (Direct Testimony
4 of John C. Donovan, May 1, 2001, p. 20.)

5

6 **Q. HOW DOES ICM-FL SIZE THE LOCAL OSP NETWORK?**

7 A. Besides the administrative fill input I just mentioned, ICM relies on two
8 inputs that can be changed via the run time options screen. These inputs
9 are called the engineering factors for distribution and feeder, and can be
10 thought of as the ratio of installed to working lines. In Verizon's filing,
11 they take the values of 2.16 and 1.011, respectively. (The derivation of
12 these factors can be found in the files "DISTFACT.xls" and "ENGFEEDER
13 FACTOR.xls" on the CD-ROM containing Verizon's cost study.)
14 Suppose, for example, that 40 working lines are needed for a given
15 distribution cable. ICM-FL will determine that 86.4 (40 x 2.16) pairs are
16 needed, and install the next largest size cable, a 100-pair cable. Since
17 86.4/100 is less than the administrative fill input of 0.98, no cable-size
18 adjustment for administrative spare is needed. (If 98, 99, or 100 pairs
19 were needed, the next largest size cable would be used.) Copper feeder
20 cables are sized in the same way, with the feeder engineering factor
21 being used instead. The feeder engineering factor is also used to
22 determine the size of the DLC modeled by ICM-FL. For example, if a
23 given DLC serves 80 working lines, ICM-FL determines that the DLC
24 must be big enough to accommodate 80.88 lines and installs the next
25 largest size -- in this case, a 96-line DLC. The administrative fill input of

1 0.98 is not used in sizing the DLCs.

2

3 **Q. DO THE ENGINEERING FACTORS FOR DISTRIBUTION AND FEEDER**
4 **PLANT REFLECT THE NEED TO ACCOMMODATE FUTURE**
5 **DEMAND?**

6 A. Yes. ICM-FL's distribution engineering factor is based on an assumption
7 of placing 2.36 pairs per lot, which is consistent with Verizon's guideline
8 of 2.0 to 2.5 pairs per lot. The feeder engineering factor is based on the
9 forecasted growth in access lines over a 4-year period -- the factor
10 reflects one-half of this growth to correspond to the midpoint of this
11 period.

12

13 **Q. IS DR. ANKUM CORRECT WHEN HE SAYS, AT PAGE 36 OF HIS**
14 **REBUTTAL TESTIMONY, THAT CURRENT USERS SHOULD NOT**
15 **PAY FOR CAPACITY INSTALLED TO SERVE FUTURE DEMAND?**

16 A. No. Dr. Ankum's argument suffers from a major fallacy -- it overlooks the
17 fact that growth in customer demand is an ongoing process. Existing
18 customers benefit from the prior provision of spare capacity since it
19 enables Verizon to meet demand as it occurs in a cost-effective manner.
20 Consider the consequences of excluding the cost of spare capacity from
21 the rates charged current customers, whether they are ALECs or end-
22 users. For simplicity, assume that there were no other costs to be
23 recovered other than the TELRIC (or the TSLRIC in the case of end-
24 users) so that setting rates equal to direct cost ensures that the total cost
25 of the network is recovered. If the rates charged today's customers do

1 not reflect the costs of today's spare capacity, then these costs either will
2 not be recovered or will be recovered by future customers. However, the
3 latter outcome would only be possible if the rates charged to a customer
4 were based on the date the customer subscribed to the network -- in
5 other words, if temporal deaveraging was used to set rates. Such a
6 pricing scheme is obviously infeasible and must be rejected.

7
8 **Q. HAVE OTHER AT&T WITNESSES TESTIFIED ON PROVIDING**
9 **CAPACITY FOR FUTURE DEMAND?**

10 A. Yes. In Massachusetts Department of Telecommunications and Energy
11 Case Number DTE 01-20 (Part A), Dr. Robert A. Mercer testified on
12 behalf of AT&T. On cross examination, Dr. Mercer was asked if the
13 Department should consider the cost of serving tomorrow's demand and
14 answered as follows:

15 Any answer that I give -- and I will give -- I'll predicate with the
16 fact that this has been an intense argument among
17 economists on both sides of this issue. You know, the
18 extreme in one direction says any growth that you build into
19 the model essentially leads to what -- you're more an
20 economist than I am -- an intergenerational transfer, in the
21 sense that if you size the network to have any excess growth,
22 you're essentially saying today's ratepayers, in the way these
23 UNE rates are set -- today's ratepayers are going to be paying
24 for customers that are going to be served tomorrow by that
25 excess capacity.

1

2

The other extreme says, but from an engineering point of view

3

I also understand that I can't go out and rebuild -- you know, I

4

can't string two pairs on the poles every time I want to serve,

5

you know, another two lines.

6

7

If you now look -- to go back to something Mr. Donovan was

8

saying about riser cable. If you look at any reasonable

9

percentage of, say, literally broken pairs, it's typically very

10

small. Churn is typically a few percent. So when we're

11

achieving a 48.4 percent fill, most of that, you're saying -- Let

12

me not use that number, because that happens because of

13

modularity. If I start even at 75 percent, I only needed a few

14

percent to account for churn and for literally broken pairs.

15

What's the rest of it? The rest is that the compromised

16

position that we finally arrived at in the model was there had to

17

be some amount provided for growth, because it was hard to

18

explain why an engineer would go out and put in a bigger-

19

than-necessary cable but a cost model should not.

20

21

So the model, even at the 75 percent sizing factor, the model

22

has in it in fact a fair amount of capacity for growth, because

23

otherwise you would be at more like what you asked a

24

moment ago about objective fill, you would be at a level more

25

like 85 or 90 percent, in order to ensure that the rates right

1 *now were only paying for the demand that was serving the*
 2 *loops that are out there today.*

3 (Case No. DTE 01-20 (Part A), *Hearing Transcripts* (February
 4 5, 2002) at pp. 3045-3047; [*emphasis added*])

5
 6 Even though Verizon and AT&T disagreed on the appropriate level of
 7 spare capacity in Massachusetts, AT&T's witnesses acknowledge that it
 8 is appropriate for a cost model to reflect the need to build capacity today
 9 to serve tomorrow's demand. It is unclear to me how this position is
 10 invalidated simply because the ALEC Coalition did not sponsor a model in
 11 the current proceeding.

12
 13 **Q. IS IT POSSIBLE TO ESTIMATE HOW MUCH OF THE 2-WIRE LOOP**
 14 **TELRIC IS DUE TO ICM-FL'S PROVISION FOR FUTURE DEMAND?**

15 **A.** Yes. All one has to do is set the two engineering inputs I described
 16 above equal to one. Doing so produces the following results for the 2-
 17 wire loop TELRIC and the modeled fills for distribution and feeder plant:

	2-Wire Loop	Dist Fill	Feeder Fill
Factors=1:	\$21.33	73.54%	94.55%
Filed:	\$22.94	38.28%	93.59%
Change:	(\$ 1.61)	35.26%	0.96%

1 Note that even though the distribution fill nearly doubles, the cost per
 2 loop decreases by only 7 percent. The reason for this is that the
 3 accommodation for growth comes mainly through selection of larger
 4 copper cables -- the placement costs remain virtually unchanged
 5 between the two runs. Note also that setting these two inputs to one
 6 means distribution plant will be designed to accommodate only the
 7 existing number of working lines and that no provision for growth in
 8 the feeder network is provided for -- something no network engineer
 9 would ever do. Even if the filed inputs were deemed to be too high,
 10 any reasonable alternatives would still need to be greater than one,
 11 so that the changes shown above would necessarily be smaller.
 12 Indeed, on cross examination in the same Massachusetts UNE
 13 proceeding cited above, AT&T witness John C. Donovan testified that
 14 1.6 to 2.0 pairs per living unit is the minimum design standard.
 15 (Case No. DTE (Part A), *Hearing Transcripts* (February 5, 2002) at p.
 16 2868).

17
 18 **Q. DOES DR. ANKUM'S RECOMMENDATION THAT THE COST OF**
 19 **COPPER FEEDER CABLES BE BASED ON A 90 PERCENT FILL**
 20 **MAKE SENSE?**

21 **A.** No. Dr. Ankum's recommendation is based on his unsupported assertion
 22 that copper feeder will not be reinforced, and that fiber facilities will be
 23 used instead. While it is true that a combination of fiber plus DLCs will
 24 replace copper feeder cables in some instances, it is too broad an
 25 assertion to say that it will happen everywhere in all cases. In any event,

1 copper feeder facilities will still be needed to connect customers to the
2 DLCs -- it is only the feeder routes between the DLCs and central office
3 that are replaced with fiber, not *every* copper feeder facility. This is an
4 important distinction because this is the network modeled by ICM-FL.
5 The routes from the DLCs to the central office are assumed to be all fiber,
6 and only the copper subfeeder needed to connect the distribution plant to
7 the DLCs, or customers not served by DLCs to the central office, is
8 modeled.

9
10 **Q. SHOULD THE COMMISSION ADOPT DR. ANKUM'S**
11 **RECOMMENDATION THAT ONLY 2-PAIR DROPS BE MODELED FOR**
12 **INDIVIDUAL RESIDENCE AND BUSINESS UNITS?**

13 A. No. Dr. Ankum offers no support for this recommendation other than his
14 incorrect claim that the drop is a very expensive portion of the loop in
15 ICM-FL. Verizon destandardized 2-pair drops in 1997 -- see the file
16 "3wr_drp3.PDF" on the ICM-FL CD. ICM-FL's use of a 3-pair drop
17 instead of a 2-pair drop reflects Verizon's actual operating practice and
18 recognizes that many customers have more than one line. Once a
19 subscriber orders a second line, use of a 2-pair drop means that a second
20 drop must be placed if one of the pairs fails, or if a third line is ordered.
21 Moreover, based on the cost differential between a 2-pair and 3-pair drop
22 that existed in 1997, use of a 2-pair drop decreases the 2-wire loop
23 TELRIC by only 4 cents. This minimal change reflects the fact that the
24 drop placement costs do not change if a 2-pair drop is used. The small
25 change also supports the use of a 3-pair drop since doing so reduces the

1 likelihood of incurring the additional placement cost of installing a second
2 drop at a customer's premises.

3

4 **Q. DOES DR. ANKUM'S RECOMMENDATION THAT THE FILL FACTOR**
5 **FOR THE 2-PAIR (OR 3-PAIR) DROPS BE SET NO LOWER THAN**
6 **THE FILLS APPROVED FOR COPPER DISTRIBUTION MAKE SENSE?**

7 A. No. Consider a 50-pair distribution cable that is serving 30 residential
8 customers who have ordered only one line each. The fill on the
9 distribution cable is obviously 60 percent (30/50), and the fill on each 2-
10 pair drop can only be 50 percent. Suppose further that half of the 30
11 customers order a second line. The fill on the distribution cable increases
12 to 90 percent (45/50), while the average fill on the drops is only 75
13 percent (45/(2x30)). This example illustrates a basic confusion underlying
14 Dr. Ankum's fill factor recommendations. ICM-FL does not use fill-factor
15 assumptions for individual components of the network to develop their
16 costs so that they can be summed to develop the cost of the loop.
17 Instead, ICM-FL sizes cables as I described earlier and chooses the
18 required network components based on the discrete sizes available. This
19 is the same approach followed by the HAI Model, by BCPM and by
20 Sprint's and BellSouth's current models. This approach to modeling the
21 network ensures that the individual network components "fit together" and
22 generates the fill factors underlying the network, whether they are
23 reported or not, in a consistent fashion.

24

25

1 Use of IDLCs In ICM-FL

2

3 Q. IS IT POSSIBLE TO UNBUNDLE LOOPS USING INTEGRATED DLCS
4 WITHOUT CONVERTING FROM DIGITAL TO ANALOG AND
5 TERMINATING THE UNBUNDLED LOOP AT THE MAIN
6 DISTRIBUTION FRAME?

7 A. It is only possible in a hypothetical sense. Telcordia's *Notes on the*
8 *Network* (October, 2000) describes four general approaches. In the first
9 approach, a separate GR-303 Interface Group is used for each ALEC
10 customer. This arrangement requires the unbundled loops to be handed
11 off to the ALEC at a DS-1 level of service. In discussing this approach,
12 Telcordia notes:

13

14 This arrangement may be cost effective for those CLECs
15 having a "critical mass" of subscribers served by the RDT or
16 group of RDTs in a CEV. Since the GR-303 Interface Group
17 supports operations functionality, there are a variety of
18 issues (provisioning, alarm reporting, sharing of test
19 resources, etc.) that are currently being addressed by the
20 industry.

21 (*Notes on the Network*, p. 12-55)

22

23 The issues inherent with multi-carrier operation noted by Telcordia are not
24 trivial. They cannot be solved with only Operating Support System (OSS)
25 or process changes. New and as yet undefined functional capabilities

1 must be developed by both switch and DLC suppliers. Even if the ALEC
2 is willing to allow Verizon to administer the RT, Verizon would have to
3 connect its OSS to the ALEC switch, and maintain the ALEC circuit
4 assignment data, in order to control the assignment of circuits in and
5 through the ALEC switch. The ALEC would still need to control its switch,
6 which means that a single switch would be driven by two separate and
7 different OSS infrastructures. Moreover, the multi-carrier operation
8 envisioned by this approach presents a set of security problems that
9 would not otherwise exist, since the assignment and control information
10 for the RT would flow through each connected switch. No switch or RT
11 functionality currently exists to prevent one switch operator from
12 interacting with other Verizon and ALEC loops provisioned in the same
13 RT, whether this interaction is accidental or deliberate.

14
15 The second approach is a variation of the first, and involves using a TR-
16 08 Interface Group for the ALEC traffic and a GR-303 interface for the
17 ILEC traffic. However, the TR-08 interface only allows concentration in
18 Mode II, in which 48 channels per DS-1 are provisioned. (*Notes on the*
19 *Network*, p. 12-28). This produces a 2:1 concentration ratio, far less than
20 Dr. Ankum's 6:1 recommended benchmark. Additionally, this
21 arrangement requires that a group of 96 RT channels (or multiples of 96
22 channels) be dedicated to the ALEC, no matter how many loops are
23 unbundled from a single RT. This is a different service than an
24 unbundled loop, which is "a transmission facility between a distribution
25 frame, or its equivalent, in an incumbent LEC central office, and the

1 network interface device at the customer premises.” (First Report and
2 Order, ¶ 380). Finally, because this arrangement still involves delivering
3 traffic to the ALEC at the DS-1 level, the “critical mass” issue noted above
4 still applies and must be resolved at each RT site, not at a wire center
5 level.

6
7 The third method described by Telcordia contemplates an entire RT being
8 leased by the ALEC. (*Notes on the Network*, p. 12-57). Because ICM-FL
9 sizes DLCs based on the entire demand at each DLC location, this option
10 would necessarily increase the number of modeled DLCs and the
11 reported costs, even if IDLCs were assumed. In addition, the modeled fill
12 on the DLCs would decrease. Finally, the leasing of an entire RT is again
13 a different service than provisioning an unbundled loop.

14
15 Lastly, Telcordia suggests that it is hypothetically feasible to share a GR-
16 303 Interface Group and use the sidedoor port of the switch to transport
17 ALEC traffic out of the ILEC switch. Under this arrangement, the ALEC
18 circuits are provisioned as non-switched / non-locally switched circuits
19 within the IDLC. Unless the ALEC is fully utilizing the DS-1 leaving the
20 sidedoor port, a digital cross-connect will be needed to hand off the
21 unbundled loops at a voice grade level. In discussing this option,
22 Telcordia observed the following:

23

24 The ILEC must address the following issues associated with
25 the sidedoor port arrangement:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

- A. The cost of a DS1 switch termination for a sidedoor port is about ten times the cost for a DS1 line card on a RDT.
- B. Since each CLEC circuit requires a nailed up DS0, the ILEC may encounter blocking over the IDLC system as other circuits compete for DS0 channels.
- C. The number of sidedoor ports that can be engineered varies depending on the LDS supplier.
- D. There is limited support in existing special services design systems and databases to support sidedoor port circuits.
- E. The ILEC may need field visits to install special service D4 channel units at the RDT.

(Notes on the Network, p. 12-56. Note that "LDS" stands for the Local Digital Switching system.)

Q. FOR THE PURPOSE OF MODELING THE TELRIC OF AN UNBUNDLED LOOP SERVED BY A DLC, SHOULD AN INTEGRATED OR UNIVERSAL CONFIGURATION BE ASSUMED?

A. This question must really be answered in the context of what technology is commercially available today. As noted above, there are numerous issues to be resolved before such an integrated capability can be realized, including issues dealing with the desired configuration, software requirements, central office and RT surveillance and security capabilities, traffic engineering, and trouble/fault identification. Regardless of what is

1 hypothetically feasible, the question of what DLC architecture a cost
2 model should assume is dominated by the fact that no switch or NGDLC
3 vendors have commercially offered products with the functionality
4 required to support a multi-carrier operation of a GR-303 interface.
5 Because TELRIC must be based on equipment and technology that is
6 commercially available today, a universal DLC configuration is the correct
7 assumption to make when modeling the TELRIC of an unbundled loop.
8

9 **Q. IS IT POSSIBLE TO MODIFY ICM-FL TO UTILIZE INTEGRATED DLCS**
10 **IN ESTIMATING COSTS?**

11 A. Yes. If the "Retail" option is selected in the run time options screen, ICM-
12 FL will model a network configured with IDLCs. The only thing else that
13 needs to be done is to develop expense inputs that are consistent with
14 this network configuration and that exclude the avoided retail costs. If this
15 is done, the TELRIC for the 2-wire loop falls by \$1.39 to \$21.55 per
16 month. All of the hypothetical solutions described above and three of the
17 four solutions discussed in the MCI WorldCom paper (Ankum Exhibit
18 AHA-8) require that at least an entire DS-1 be delivered to the ALEC.
19 Again, this is a different service than an unbundled loop. (The fourth
20 solution in the MCI WorldCom paper involves "hairpinning" the circuit
21 through the sidedoor port as described earlier. The paper readily
22 acknowledges that this is not an efficient arrangement since it
23 unnecessarily and quickly consumes switch resources). This requires an
24 increase in the number of DS-1s for each DLC, unless the ALEC
25 unbundles customers in groups of 24 from *each* of the relevant DLCs. As

1 I noted earlier, this is an outcome whose likelihood decreases with the
2 size of the DLC and with increases in the number of ALECs. Surrebuttal
3 Exhibit DGT-2 provides an example of the phenomenon.

4
5 In this exhibit, I have assumed that three carriers are competing for
6 customers in Verizon's network, under two market share scenarios. One
7 of the carriers is Verizon, although it doesn't matter which of the three it
8 is. For purposes of this example, requirements for channels needed for
9 maintenance, alarms, etc., are ignored, and it is assumed that each DLC
10 is 100 percent utilized. Scenario 1 assumes that the three carriers all
11 have an equal chance of providing service to a given end-user. Scenario
12 2 assumes a more lop-sided distribution. The section at the bottom of
13 page one of the exhibit shows the number of DS-1 circuits that would be
14 required under two concentration ratios, based on the number of DLCs
15 modeled by ICM-FL. Under both concentration ratios, the number of DS-
16 1s increases -- with more competing carriers the increase would of course
17 be greater. Consequently, even if loops could be unbundled from an
18 IDLC, the resulting decrease in the 2-wire TELRIC would be less than the
19 \$1.39 discussed above.

20
21 **Dr. Ankum's Recommended 6:1 Concentration Ratio**
22 **Should Not Be Adopted**

- 23
24 **Q. WHAT CONCENTRATION RATIO IS ASSUMED IN ICM-FL?**
25 **A. The DLC inputs used by ICM-FL are a based on a 4:1 concentration ratio.**

1

2 **Q. SHOULD THE COMMISSION ADOPT DR. ANKUM'S**
3 **RECOMMENDATION FOR A 6:1 CONCENTRATION RATIO?**

4 A. No. As discussed above, Dr. Ankum's fabricated example at page 52 of
5 his rebuttal testimony is based on the incorrect assumption that the cost
6 of the DLC remains the same even though the number of end-users
7 served increases. Consequently, the decreases in the cost per voice
8 grade channel (or DS-0) shown in Dr. Ankum's table are misleading.
9 Moreover, moving from a 4:1 to a 6:1 concentration ratio has no impact
10 on the number of DS-1 links required for 192-line DLCs and smaller.
11 (See Surrebuttal Exhibit DGT-3.) Finally, in recommending a 6:1
12 concentration ratio, Dr. Ankum has given no consideration to the resulting
13 increase in the blocking probability.

14

15 **Q. IS IT POSSIBLE TO MODIFY ICM-FL'S DLC INPUTS TO REFLECT A**
16 **6:1 CONCENTRATION RATIO?**

17 A. Yes. The only investment that is affected is in the DSX-1 panel and the
18 associated cards. In the universal configuration underlying Verizon's filed
19 costs, there is no change in the investment or in the resulting 2-wire loop
20 TELRIC. If a 6:1 concentration ratio is used with the inputs for the
21 integrated arrangement in the run I just described, the resulting 2-wire
22 loop TELRIC is \$21.54, a decrease of only one cent. Thus, the difference
23 between the 4:1 and 6:1 concentration ratio is substantially smaller than
24 Dr. Ankum would have this Commission believe.

25

1

2

ICM-FL's Drop Lengths

3

4 **Q. SHOULD THE COMMISSION ACCEPT DR. ANKUM'S**
5 **RECOMMENDATION FOR MODELED DROP LENGTHS?**

6 A. No. Dr. Ankum's recommended drop lengths are unsupported by his
7 testimony, or by any other portion of the record in this proceeding.
8 Moreover, his recommendation to specify a drop length for each
9 deaveraged zone does not make sense. In order to determine the
10 composition of the zones, one must know the loop costs for each wire
11 center. This cannot be done without first determining the modeled drop
12 length. As I explain below, ICM-FL determines the average drop length
13 based on the characteristics of the individual demand point, or grid. This
14 means that grids which have similar density characteristics will have
15 similar average drop lengths, regardless of the zone their particular wire
16 center is ultimately assigned to.

17

18 **Q. HOW DOES ICM-FL MODEL THE DROP LENGTH FOR A GIVEN**
19 **DEMAND POINT OR GRID?**

20 A. The average drop length is determined by the number of business and
21 residential units in each grid and by an assumed grid area of 2.7 million
22 square feet. (As noted in the response to Staff Interrogatory 141, Set Six,
23 this assumed grid area is less than the average grid area in ICM-FL, so
24 that using the assumed area results in shorter drop lengths.) The number
25 of business and residential units is determined by dividing the business

1 and residence lines by the number of lines per unit. The number of lines
 2 per unit for businesses and residences are user-adjustable inputs that are
 3 specified via ICM-FL's run time options screen. Dividing the grid area by
 4 the total number of units produces the average size lot for the grid,
 5 including streets, sidewalks, shoulders, and right-of-way areas. ICM-FL
 6 assumes that the lot is square and calculates the average drop length for
 7 the grid as the distance from the center to the corner. This approach
 8 recognizes both front and back placement of drops and accounts for the
 9 fact that many drops must cross the street to reach the distribution cable.
 10 Because the calculations just described can result in unusually long or
 11 short drop lengths in sparsely or densely populated grids, ICM-FL allows
 12 the user to specify maximum and minimum values for the modeled
 13 average drop length.

14
 15 **Q. DOES ICM-FL REPORT THE AVERAGE MODELED DROP LENGTH?**

16 A. No, but it is possible to extract the records corresponding to the populated
 17 demand points or grids to an Excel file and calculate the average drop
 18 length modeled by ICM-FL. Based on the inputs filed in Verizon's cost
 19 study, the average modeled drop length is 102.7 feet. Because one drop
 20 can serve more than one line, the average is only 73.3 feet per line.

21
 22 **Q. HOW DO THE MODELED DROP LENGTHS COMPARE TO DR.**
 23 **ANKUM'S RECOMMENDED LENGTHS FOR EACH ZONE?**

24 A. ICM-FL models drops that are longer than Dr. Ankum's unsupported
 25 recommendation, as shown in the table below:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

	<u>Zone 1</u>	<u>Zone 2</u>	<u>Zone 3</u>	<u>Overall</u>
Filed:	81.8	129.0	259.0	102.7
Dr. Ankum:	75.0	100.0	150.0	85.5

Q. IS IT POSSIBLE TO FORCE THE AVERAGE DROP LENGTHS IN EACH ZONE TO EQUAL THE VALUES RECOMMENDED BY DR. ANKUM?

A. No. However, one can lower the values for minimum and maximum average drop length and decrease the average length of the modeled drop in each zone. The average modeled drop length is not particularly sensitive to reductions in the minimum average drop length -- setting it to 10 only reduces the average Zone 1 drop length to 81.2 feet, and does not change the average for the other two zones. If the input for the maximum average drop length is decreased to 165, the following average drop lengths are obtained:

<u>Zone 1</u>	<u>Zone 2</u>	<u>Zone 3</u>	<u>Overall</u>
79.2	109.6	149.5	91.5

As is shown above, setting the maximum average drop length to 165, forces the average drop lengths for each zone close to Dr. Ankum's unsupported recommendations. Overall, the average modeled drop length decreases by 11 percent.

1 Q. WHAT IMPACT DOES THIS INPUT CHANGE HAVE ON THE
2 AVERAGE TELRIC FOR THE 2-WIRE LOOP?

3 A. The results by zone and overall are shown in the table below:

	<u>Zone 1</u>	<u>Zone 2</u>	<u>Zone 3</u>	<u>Overall</u>	
4					
5					
6	Filed:	\$18.94	\$27.68	\$74.16	\$22.94
7	Max=165:	\$18.92	\$27.47	\$72.86	\$22.84
8	Decrease:	(\$ 0.01)	(\$ 0.20)	(\$ 1.31)	(\$ 0.10)

9

10 Thus, moving ICM-FL's average modeled drop lengths substantially
11 towards Dr. Ankum's recommendation has very little impact on the
12 resulting cost estimates. As I explained earlier, drop costs are not a very
13 expensive part of the loop in ICM-FL -- an 11 percent decrease in length
14 results in a less than one-half of one percent decrease in the 2-wire loop
15 TELRIC.

16

17 ICM-FL's Modeling of Customer Locations

18

19 Q. HOW DOES ICM-FL MODEL CUSTOMER LOCATIONS?

20 A. As I explained at page 22 of my direct testimony, ICM-FL utilizes a very
21 small grid area, called a demand point, along with information on road
22 feet, and estimates of access lines by census blocks obtained from PNR
23 Associates. The line count estimates for each census block are assigned
24 to each demand point based on its share of the road feet in the census
25 block. The road feet measure corresponds to the types of roads along

1 which residential or business development would normally occur, and
2 from which customers would have access to their premises. The
3 measure excludes interstate highways, limited access roads, bridges,
4 tunnels, access ramps, and motorcycle trails because these are not roads
5 along which customers typically are located. Alleys and driveways are
6 also excluded because including them would overstate the amount of
7 road feet along which telephone plant is placed. The demand units are
8 assigned to each wire center based on Verizon's tariffed exchange
9 boundaries. The resulting totals for each wire center are trued up to
10 Verizon's actual line counts by wire center so that the sums of the
11 residential and business line counts for the demand units in a wire center
12 equal the actual totals for that wire center.

13

14 **Q. DOES ICM-FL ASSUME THAT CUSTOMERS ARE EQUALLY**
15 **DISTRIBUTED THROUGHOUT EACH GRID AS DR. ANKUM CLAIMS?**

16 A. No. ICM-FL uses the lines and road feet for each grid to model the cost
17 of the copper distribution plant needed to serve the customers based on
18 the user inputs in the FLtempl.db table. The total amount of copper and
19 fiber feeder in a wire center is constrained by the amount of road feet in
20 the wire center. Again, the road feet measure only includes those roads
21 along which residential or business development would normally occur.

22

23 **Q. IS GEOCODING OF CUSTOMER LOCATIONS THE PANACEA THAT**
24 **DR. ANKUM SUGGESTS IT IS?**

25 A. No. One of the major problems with geocoding is that it is a very

1 expensive undertaking, so much so that the geocoded locations
2 underlying Dr. Ankum's HAI benchmark have not been updated even
3 though they are based on a 1997 address list from Metromail.
4 Additionally, the success rate associated with geocoding is substantially
5 less than 100 percent. For Florida, the HAI Model's success rate ranges
6 from 34 to 85 percent depending on the density zone. For the two most
7 dense zones, the success rate is 50 percent or less. For the state overall,
8 the average success rate is only 70 percent. This average reflects a low
9 of 55 percent for BellSouth, and a high of 79 percent for Verizon.

10

11 **Q. WHY IS THE GEOCODING SUCCESS RATE A SOURCE OF**
12 **CONCERN?**

13 A. A geocoding success rate of less than 100 percent forces the model
14 developers to manufacture surrogate geocoded locations for the
15 residential and business customers who were not successfully geocoded.
16 The HAI Model developers have used two methods to manufacture these
17 surrogate locations. At one time, they assumed that the surrogate
18 locations would be uniformly distributed along census block boundaries.
19 They now assume that the surrogate locations will be uniformly
20 distributed along the roads within a census block.

21

22 Both of these solutions present their own problems. By distributing the
23 manufactured locations along census block boundaries, the model
24 developers are placing customers where roads may or may not exist
25 since such census blocks are often bordered by political boundaries,

1 rivers or railroad tracks. The more recent device of placing the surrogate
2 locations uniformly along the road network will result in customers being
3 "located" between existing houses and business locations. Also, one
4 source of geocoding failure is the inability to assign latitudes and
5 longitudes to addresses consisting of a post office box or a rural route --
6 the surrogate locations for these subscribers will line up with the actual
7 locations only by chance. Consequently, it is almost a certainty that Dr.
8 Ankum's HAI standard is building plant to locations where no customers
9 exist, the very charge he has leveled against ICM-FL. Clearly, failure to
10 geocode customer locations with sufficient accuracy can lead to suspect
11 and inferior results.

12

13 **Q. IS THERE ANY OTHER REASON WHY USE OF GEOCODED DATA**
14 **MIGHT PRODUCE INFERIOR RESULTS?**

15 A. Yes. Use of geocoded data -- even with a 100 percent success rate --
16 adds little to a model if the detail is thrown away before the modeled
17 network is built. This is what Dr. Ankum's HAI benchmark does. The
18 basic unit of analysis in the HAI Model is the "cluster" which is a
19 rectangular area in which the customer locations are effectively assumed
20 to be evenly distributed. The cluster is the most granular level of location
21 information for which the HAI Model designs outside plant. In
22 Massachusetts, the HAI Model utilized less than 4,700 clusters to design
23 a network supporting nearly 4.5 million lines. In Florida, the HAI Model
24 uses less than 2,100 clusters to model Verizon's network. By
25 comparison, ICM-FL utilizes more than 23,000 of the demand points |

1 described above to design a network supporting almost 2.5 million lines.

2

3 **Q. IS IT POSSIBLE TO USE GEOCODED DATA IN ICM-FL?**

4 A. Yes. Assuming that one had a database containing the geocoded
5 location for each of Verizon's Florida customers, it would be possible to
6 map those locations to the 1/200th by 1/200th of a degree grid structure
7 used by ICM-FL. While this is not an easy task, it is clear the ICM-FL's
8 customer location assumptions are not embedded in the model's code.

9

10 **Q. HAS BELL SOUTH PROVIDED A MODEL OF THEIR NETWORK THAT**
11 **RELIES ON GEOCODED INFORMATION?**

12 A. Yes, they have. With respect to the granularity issue, BellSouth's model
13 is superior to the HAI Model, since it does not condense the geocoded
14 locations into clusters before modeling the network. However, this
15 feature comes at a cost since it takes more than 10 hours to do a
16 complete run of the BellSouth model. By comparison, ICM-FL will finish a
17 complete run in about 11 minutes on my desktop. Additionally, like all
18 models based on geocoded data, I am sure that BellSouth's success rate
19 is not 100 percent, so that some device to create surrogate locations
20 must be employed.

21

22 **The Efficiencies of Fiber Facilities**

23

24 **Q. DOES ICM-FL FAIL TO REFLECT THE EFFICIENCIES OF FIBER**
25 **FACILITIES AS DR. ANKUM CLAIMS AT PAGE 59?**

1 A. No. Dr. Ankum bases his erroneous claim on the argument that (1)
2 remote terminals (i.e., DLCs) should be placed closer to the customer; (2)
3 ICM-FL's use of secondary SAIs increases the amount of copper used;
4 and (3) that ICM-FL always assumes that some portion of the feeder is
5 copper even if the DLC is fiber-based. As I explained earlier, Dr. Ankum's
6 position that DLCs should be forced further into the network is at odds
7 with his complaint that ICM-FL models DLCs that are too small and
8 underutilized, and with his criticism of Verizon's unbundled DS-1 study.
9 Likewise, I have already explained that ICM-FL's use of secondary SAIs
10 *decreases* the use of copper.

11

12 It is true that ICM-FL assumes the use of copper feeder, even though all
13 of the modeled DLCs are fiber based. The copper feeder routes modeled
14 by ICM-FL are the facilities between the distribution plant and the DLCs,
15 or between customers not served by DLCs and the central office. All of
16 the feeder connecting the DLCs to the wire center is fiber. Dr. Ankum's
17 position on this issue implies that the Commission should base rates on
18 the costs associated with a fantasy network: in order to overcome Dr.
19 Ankum's objection, ICM-FL would have to place a DLC at the first SAI
20 that is modeled as one moves from the end user towards the central
21 office. This is the only way that the copper subfeeder could be
22 eliminated. Such a network would bear no resemblance to the network
23 from which Verizon provisions UNEs in Florida.

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DLC Placement Costs

Q. HAS DR. ANKUM CORRECTLY CHARACTERIZED VERIZON'S TESTIMONY IN MASSACHUSETTS CONCERNING THE COST OF DLC PLACEMENT WITHIN BUILDINGS?

A. No. While he has correctly copied the quote from the Massachusetts proceeding at page 60 of his rebuttal testimony, he has not provided the Commission with a complete picture of the discussion in which the statement was made. The Verizon testimony he cites was rebutting Dr. Ankum's claim that the Massachusetts study made a different assumption than Verizon's New York study, and had therefore *erred* by placing DLCs within a building:

Third, Dr. Ankum states "In New York, VZ did not advocate this design. In fact, in New York there were many instances where the RT for large buildings was placed outside of the building."

The statement is erroneous. Dedicated RTs is the design employed in NY for large buildings. This fact is clearly documented in the record of the recent New York UNE proceeding. In light of the clear record in the New York proceeding, Verizon MA does not understand the basis for Dr. Ankum's assertion that "there were many instances where RT's for large buildings were placed outside of the

1 building." Perhaps he has confused the use of CEVs or
2 similar underground enclosures to house RT's in some
3 metropolitan installations with the situation of serving a large
4 building. Such underground structures are used in
5 metropolitan areas as substitutes for the common above
6 ground cabinets typically used in suburban areas. In either
7 case, the RT is serving an extended distribution area not a
8 single building. An RT outside in a CEV to serve a large
9 building would only be employed in the very rare
10 circumstance that the building owner would not supply space
11 within the building. The reason is simple economics. An
12 underground structure in a metropolitan environment could
13 cost \$100K or more. Space within buildings is usually less
14 expensive.

15
16 Fourth, Dr. Ankum alleges: "It is wasteful to incur the
17 expense of an RT with ample spare to serve other
18 customers, but to limit the use of this RT artificially to just
19 one set of customers."

20
21 Dr. Ankum offers no support for this assertion. The RTs
22 placed in a building are efficiently designed and sized to the
23 application, not with ample spare. Efficient engineering
24 decisions should be based on the relative economics of the
25 available alternatives. The use of a dedicated RT to serve a

1 large building is more economic generally than the practical
2 alternatives which are typically either copper cable or copper
3 extension from a remote RT. The economics of fiber versus
4 copper always favor extending the RT as close to the
5 customer as possible as long as two conditions can be met:
6 that a site for the RT can be obtained at reasonable cost and
7 that the fill of the system exceeds a threshold level. Both
8 conditions are met in the large building situation. Locating
9 RT's within a building involves minimum site cost and the line
10 size threshold used in the study insures that reasonable fill is
11 achieved.

12 (Case Number D.T.E. 01-20, *Surrebuttal Testimony of*
13 *Verizon-MA Panel* at pp 56-57.)

14

15 It is clear from the above that the comparison being made is between
16 locating a DLC in a building and locating it in an underground, controlled
17 environment vault (CEV). As I explain below, ICM-FL assumes that its
18 DLCs are either pole-mounted or are placed on concrete pads. There is
19 no evidence to suggest that placing a DLC in a building is cheaper than
20 either of these options.

21

22 **Q. DOES ICM-FL MODEL DLC PLACEMENT COSTS AS IF THEY WERE**
23 **LOCATED IN BUILDING?**

24 **A.** No. ICM-FL has no mechanism for deciding if a given DLC is located in a
25 building. However, in lodging this complaint against ICM-FL, Dr. Ankum

1 proposes a standard that no model that I am aware of in Florida has ever
2 met. This includes BCPM, BellSouth's and Sprint's current models, as
3 well as the HAI Model. Moreover, Dr. Ankum's complaint is one-sided at
4 best. None of these models, including ICM-FL, models the cost of placing
5 DLCs underground in a CEV. Use of CEVs occurs in the real network
6 because of congestion or because of local zoning ordinances. The
7 placement costs associated with CEVs exceed the DLC placement costs
8 modeled by ICM-FL. Thus, Dr. Ankum would have the Commission
9 reduce the costs modeled by ICM-FL to reflect the allegedly lower costs
10 of placing DLCs in a building, but is content to ignore the higher costs of
11 CEV placement.

12

13 **Q. HOW DOES ICM-FL MODEL THE PLACEMENT COSTS OF DLCS?**

14 A. For DLCs that are 448 lines and smaller, ICM-FL assumes that the DLC
15 is pole mounted. For larger DLCs, ICM-FL assumes the DLCs are placed
16 outside on a concrete pad -- this is the same assumption that the HAI
17 Model makes for all of its modeled DLCs. If the DLC is placed in a
18 building, not all of the placement costs will be eliminated, since installing
19 the DLC in a building will require the assembly of individual racks and
20 shelves. If the modeled placement costs for the large DLCs are reduced
21 by eliminating the portion associated with securing an easement, and by
22 reducing the site preparation costs by 50 percent, the TELRIC for the 2-
23 wire loop decreases by 9 cents to \$22.85 per month. So, even if Dr.
24 Ankum's claimed cost savings do exist, the overall impact on the TELRIC
25 is very small.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Verizon's Costs for Unbundled DS-1 Loops

Q. HOW WERE THE TELRICS FOR UNBUNDLED DS-1 LOOPS DEVELOPED?

A. Verizon's unbundled DS-1 TELRICs are based on the weighted average of provisioning such circuits over metallic and fiber facilities. The costs of provisioning DS-1s via metallic facilities are based on the 4-wire loop costs modeled by ICM-FL for each wire center, plus the cost of the circuit equipment needed to create the DS-1 circuit. The costs of provisioning DS-1s via a fiber facility are based on the cost of three fiber systems: (1) an OC3 system equipped for 28 DS-1s, (2) an OC3 system equipped for 84 DS-1s, and (3) an OC12 system equipped for 336 DS-1s. The costs of the fiber facilities for the fiber systems are based on the average loop length modeled by ICM-FL for business loops in each Florida wire center.

Referring to Dr. Ankum's exhibit AHA-10 -- which only portrays results for a single wire center -- the fill factors used for each of the four provisioning methods are shown in Column C. The fiber system and facility costs in Column A are divided by the corresponding number of DS-1s to obtain a capacity cost per DS-1 assuming 100 percent utilization. These costs are divided by the fill factor in Column C to obtain a cost per provisioned DS-1. The costs per provisioned DS-1 are averaged based on the weightings in Column E to arrive at an average cost per provisioned DS-1 for each wire center. The statewide average cost across all wire centers is

1 \$210.83 per DS-1 per month.

2

3 **Q. HOW ARE THE FILL FACTORS AND WEIGHTING DISCUSSED**
4 **ABOVE DEVELOPED?**

5 A. The 100 percent fill factor for the metallic facility is used to account for the
6 fact that the costs already reflect ICM-FL's modeled utilization, and the
7 33.3 percent fill factors for the fiber facilities reflect the use of 4 fibers out
8 of a 12-fiber sheath. The fills for the three fiber systems are based on the
9 actual number of provisioned circuits divided by the system capacity on a
10 statewide basis. The weightings shown in Column E are based on the
11 actual number of circuits provisioned in the state for each facility type.
12 The weightings represent the likelihood that a given unbundled DS-1 will
13 be provisioned via one of the four methods described above. Note that
14 only the metallic facility and the 28 DS-1 OC3 system have a significant
15 effect on the costs: if the other two fiber systems are eliminated, the
16 monthly cost in Dr. Ankum's exhibit decreases by only one-tenth of one
17 percent.

18

19 **Q. WHERE ARE THE DEVELOPMENT OF THESE COSTS FOUND IN**
20 **VERIZON'S COST STUDY FILING?**

21 A. They are found in the "FLHICapWtg.xls" and "FL Fiber Loops.xls"
22 spreadsheets on the CD-ROM that contained Verizon's cost study filing.
23 The latter file is used to model the fiber terminal and facility costs shown
24 in Column A of Dr. Ankum's exhibit. The facility costs vary by wire center
25 and are based on the average modeled loop length for business lines as

1 explained above. The spreadsheet must be “run” for each wire center by
2 entering the wire center number in cell K3 in the tab labeled INVRPTS.
3 (The wire center number is simply the sequence number for each CLLI
4 found in Column A of the tab labeled FL Nodes. It is nothing more than
5 an integer ranging from 1 to 90.) The resulting facility cost is found in cell
6 O47 in the MRCRPTS tab. This value is copied and pasted into the
7 “FLHICapWtg.xls” spreadsheet in column E of the tab labeled WC DATA.
8 Column F of this tab contains the DS-1 metallic costs extracted from
9 ICM-FL. This spreadsheet is also “run” for each wire center by entering
10 its sequence number in cell S6 of the REPORTS tab. The resulting cost
11 is found in cell P47 of the same tab and is copied and pasted to column G
12 of the WC DATA tab. The statewide average is found in cell G97 of the
13 same tab

14

15 **Q. ARE THE FILLS USED IN THE STUDY FOR THE THREE FIBER-**
16 **BASED SYSTEMS REASONABLE?**

17 A. Yes. What Dr. Ankum fails to realize is that the fills are based on
18 provisioning DS-1's to specific locations in Verizon's actual network. In
19 order to achieve the 90 percent fill recommended by Dr. Ankum for the
20 smallest of the three fiber systems, the average number of DS-1s
21 provided at each location would have to be 25.2 (28 x 0.9) -- on a voice
22 grade basis, this is more than 600 circuits. Such an assumption is simply
23 not representative of the average demand characteristics that Verizon
24 has experienced in provisioning DS-1s.

25

1 Q. SHOULD THE COMMISSION ACCEPT DR. ANKUM'S
2 RECOMMENDATION TO BASE THE COSTS OF UNBUNDLED DS-1s
3 ON A 90 PERCENT FILL FOR THE THREE FIBER SYSTEMS?

4 A. No. Once again, Dr. Ankum would have the Commission base UNE
5 costs on a network operating nearly at capacity. As I explained above,
6 the fills used in the study represent the utilization that Verizon has
7 actually realized in its existing network. There is no reason to expect the
8 level of utilization to miraculously increase to 90 percent.

9

10 Q. WHAT IS THE EFFECT OF BASING COSTS, AND ULTIMATELY
11 RATES, ON TARGET FILLS THAT EXCEED THE ACTUAL AVERAGE
12 FILL?

13 A. In terms of Dr. Ankum's specific recommendation, the unbundled DS-1
14 TELRIC falls from \$210.82 to \$106.48 per month. Conceptually, basing
15 costs and rates on a fill greater than the average fill means that total costs
16 will not be recovered. This is illustrated by the example shown in
17 Surrebuttal Exhibit DGT-4.

18

19 This example assumes a company that owns only three feeder routes
20 from which it unbundles pairs. For purposes of this example, I have set
21 aside the question of common costs so that we can assume that the rate
22 per pair is set equal to the TELRIC. Section 1 of the exhibit sets out the
23 assumptions concerning the number of installed and working pairs for
24 each route, as well as the total cost per route and for the company as a
25 whole. Section 2 illustrates the impact of setting the company-wide per-

1 unit cost (and rate) based on a target fill of 85 percent, greater than the
2 averaged realized fill of 68.4 percent. Section 3 shows the same
3 calculations based on the averaged realized fill.

4
5 If the target fill is used to develop the per-unit cost and rate, the company
6 will not recover its total costs. This is true for any target fill that it is
7 greater than the average. It is clear from this example that costs must be
8 based on an average fill level, not on an unrealistically high and
9 unsupported level such as Dr. Ankum recommends.

10 11 **Cost Studies for EELS**

12
13 **Q. IS DR. ANKUM CORRECT WHEN HE CLAIMS THAT PROVISIONING**
14 **AN EEL IS DIFFERENT THAN PROVISIONING AN UNBUNDLED**
15 **LOOP, MULTIPLEXING AND INTEROFFICE TRANSPORT?**

16 **A.** No. As a threshold matter, I note that his example at page 69 of his
17 rebuttal testimony does not apply to the 41 percent of loops that ICM-FL
18 models as being directly served by the main distribution frame. To the
19 extent that his position has any merit whatsoever, it would only apply to
20 those loops served by a DLC. Thus, Dr. Ankum's position on EELs is the
21 same as his position on IDLCs -- it is premised on his incorrect claim that
22 it is possible to unbundle a loop from an IDLC using the GR 303 interface.
23 As explained above, no commercially viable means of accomplishing this
24 task exists.

25

1 The transport facility between the two offices in Dr. Ankum's example is a
 2 path dedicated to the voice-grade circuit corresponding to the end-user
 3 involved. If the DS-1 from the DLC serving the end-user is integrated into
 4 the trunk side of the switch, the only way to dedicated this path is to
 5 "hairpin" or "nail up" the circuit through the sidedoor port of the switch.
 6 This arrangement wastes switch resources as Telcordia and MCI
 7 WorldCom have acknowledged. If an entire DS-1 is used to establish this
 8 path, then the "loop portion" of the EEL is not an unbundled loop -- it is an
 9 entirely different service. Moreover, such arrangements will result in
 10 underutilization of DS-1s, particularly as the number of ALECs increases.

11

The GTD-5 Is a Forward-Looking Technology

13

14 **Q. IS THE GTD-5 A FORWARD-LOOKING TECHNOLOGY?**

15 **A.** Yes. AGCS continues to market and support the GTD-5, and Verizon
 16 continues to buy line additions and remotes. In April, 1997, BC TEL
 17 signed a \$60 million volume purchase agreement with AGCS to purchase
 18 GTD-5 Class 5 digital switching equipment and IN products. Contrary to
 19 the findings of the Texas Public Utility Commission relied upon by Dr.
 20 Ankum, ISDN is supported by the GTD-5. Finally, in May, 2000, both the
 21 Michigan Public Service Commission and the Michigan staff concluded
 22 that the GTD-5 is a forward-looking switch and should be used to
 23 estimate Verizon's switching costs. (Case No. U-11832, *Order* (May,
 24 2000) at pp. 24 and 27). Verizon has no plans to replace the GTD-5 and
 25 will provision UNEs out of a network in Florida that contains GTD-5s in 72

1 out of 90 wire centers.

2

3

Switch Pricing

4

5 **Q. IS DR. ANKUM CORRECT THAT VERIZON HAS PROPOSED**
6 **SWITCHING COSTS THAT ARE ONLY BASED ON THE COST OF**
7 **ADDING TO EXISTING SWITCHES?**

8 A. No. As I explained above and in my direct testimony, the switching costs
9 modeled by ICM-FL are based on the prices Verizon pays for initial switch
10 placements and expansions. (Tucek Direct, p. 17). This is accomplished
11 through use of a discount factor in the SCIS and CostMod runs that
12 reflects the initial switch pricing, and through use of an investment
13 adjustment factor (IAF) that reflects the pricing of additions. The files
14 supporting the development of the discount factors were provided with
15 Verizon's cost study, and the calculation was explained further in
16 response to the ALEC Coalition's Interrogatory Number 23, Set 1.

17

18 **Q. PLEASE DESCRIBE HOW THE DISCOUNTS USED AS INPUTS TO**
19 **SCIS AND COSTMOD WERE DEVELOPED.**

20 A. First, SCIS and CostMod were run with no discount for a set of eight
21 model office clusters for the 5ESS, GTD-5 and DMS-100 switching
22 technologies as shown in the table below:

23

24

25

1	Cluster	Base			
2	Size	Unit	Remote 1	Remote 2	Remote 3
3	700	700	----	----	----
4	1,700	1,700	----	----	----
5	3,400	3,400	----	----	----
6	6,300	5,000	1,300	----	----
7	10,900	8,300	2,600	----	----
8	18,500	13,300	2,600	2,600	----
9	36,200	29,200	2,333	2,333	2,333
10	90,000	60,000	3,750	<== 8 of these remotes	

11

12 For the DMS-10, SCIS was run with no discount for the first five model
13 office clusters shown above. The usage inputs for each of these SCIS
14 and CostMod runs were based on system-wide averages for comparably
15 sized switches. Next, discounts were computed for each of the above
16 configurations based on the total modeled switch costs and on the switch
17 costs resulting from the vendor quotes and the Nortel contract for initial
18 switch purchases. Finally, weighted averages of these discounts across
19 the cluster sizes were calculated. These weighted averages are the
20 discount inputs used in the subsequent SCIS and CostMod runs for each
21 Verizon Florida wire center.

22

23 **Q. HOW WAS THE IAF INPUT CALCULATED?**

24 A. ICM-FL's IAF input is calculated for each of the base unit line sizes shown
25 above. Line and trunk growth for each base unit is calculated over a six-

1 year timeframe, using Florida-specific growth rates, and are priced as
 2 additions to existing switches. The IAF input for each base-unit and line-
 3 size combination is calculated as the present value of the purchase cost
 4 of the initial switch plus the additions, divided by the initial switch cost.
 5 Algebraically, the factor's calculation can be expressed as:

$$\begin{array}{c}
 6 \\
 7 \quad \text{Initial Switch Cost + PV(Cost of Line Additions)} \\
 8 \quad \text{-----} \\
 9 \quad \text{Initial Switch Cost}
 \end{array}$$

10
 11 The outputs of SCIS and CostMod, which only reflect the initial switch
 12 pricing, are multiplied by this factor to produce a blended switch cost that
 13 reflects the pricing for both initial switch purchases and for line additions.
 14 The numerator represents ICM-FL's view of the total material cost of the
 15 switch using the initial switch pricing and the cost of additions.

16
 17 **Q. HOW DOES THE CALCULATION OF THE IAF INPUT COMPARE TO**
 18 **THE CALCULATION PROPOSED BY DR. ANKUM?**

19 A. ICM-FL's IAF input is very similar to Dr. Ankum's proposal. At page 87 of
 20 his rebuttal testimony, Dr. Ankum proposes the following formula:

$$\begin{array}{c}
 21 \\
 22 \quad \text{PV(cutover price x \# of cutover lines) + PV(growth price x \# growth lines)} \\
 23 \quad \text{-----} \\
 24 \quad \text{Sum of Cutover and Growth Lines}
 \end{array}$$

25

1 The formula offered by Dr. Ankum produces a cost per line that, if
2 multiplied by the sum of the cutover and growth lines, produces Dr.
3 Ankum's view of total switch costs. In other words, the numerator of his
4 formula represents the total material cost of the switch using cutover and
5 growth pricing. Because Dr. Ankum's "cutover price" and "growth price"
6 are just different terms for "initial switch pricing" and the "cost of
7 additions", the numerators of both formulas are conceptually equivalent:
8 they represent ICM-FL's and Dr. Ankum's view of what a switch costs
9 based on a mix of cutover and growth pricing. As explained below, ICM-
10 FL's IAF input produces a lower estimate of switching costs than does Dr.
11 Ankum's formula.

12

13 **Q. WHY DOES ICM-FL'S IAF INPUT PRODUCE A LOWER RESULT**
14 **THAN DR. ANKUM'S FORMULA?**

15 A. There are two reasons. First, it is clear that the first term of each
16 numerator is identical -- the present value of "the cutover price x the
17 number of cutover lines" is nothing more than the initial switch price. The
18 expressions differ in the second term, since Dr. Ankum proposes
19 calculating the present value of the additions over the entire life of the
20 switch. As explained above, the IAF input only reflects additions over a
21 six-year timeframe. If the analysis were extended over the entire life of
22 the switch (18 years in Dr. Ankum's view, but only 10 years according to
23 Verizon witness Allen Sovereign), the factor would necessarily be higher
24 as would the switching costs modeled by ICM-FL.

25

1 Second, the cost of the additions used in the development of the IAF
2 input does not include *all* of the additional vendor equipment that would
3 be needed over the life of the switch. The development of the IAF input
4 excludes such items as additional host/remote links, software and
5 processor upgrades, or additional network paths. Including these items
6 over the life of the switch would again result in a higher IAF input and
7 higher modeled switching costs.

8

9 **Q. ON A PER-LINE BASIS, DOES ICM-FL MODEL HIGHER SWITCH**
10 **COSTS FOR THE GTD-5 THAN IT DOES FOR THE 5ESS AND**
11 **NORTEL SWITCHES?**

12 A. The answer to this question is confidential, and is contained in
13 confidential Surrebuttal Exhibit DGT-5.

14

15 **Feature Costs**

16

17 **Q. IS DR. ANKUM CORRECT THAT MOST OF THE COSTS OF**
18 **FEATURES ARE NON-TRAFFIC SENSITIVE?**

19 A. No. Feature costs arise from three sources: (1) the right-to-use fees for
20 specific feature packages; (2) special hardware, such as conference
21 circuits, that some features require; and (3) the processor time utilized by
22 feature activation. Additionally, it is physically impossible for every port to
23 have access to every switch feature. For example, only a port that
24 corresponds to a Centrex customer can access Centrex features, and
25 only ISDN lines can access ISDN features. Consequently, Verizon's

1 feature costs will depend both on the number and types of features that
2 end-users subscribe too. If access to all features is sold to ALECs on a
3 flat-rate basis, then from their perspective the features have been priced
4 at zero on the margin. It is reasonable to assume that ALECs purchasing
5 such ports will offer the features at low or zero cost to end users in order
6 to differentiate their services. The success of the ALECs' marketing
7 efforts will consequently determine the actual demand on the switch
8 processor resulting from feature usage -- if it increases enough, it may
9 well be that a larger processor must be installed or that multiple switches
10 will have to be placed. To claim that feature costs are mostly non-traffic
11 sensitive ignores the costs arising from specialized hardware and from
12 processor usage, as well as the impact of ALEC pricing to their own end
13 users, on the demand placed on Verizon's switch resources.

14

15 **Q. DO THE PORT AND MOU COSTS ESTIMATED BY ICM-FL INCLUDE**
16 **THE COSTS OF FEATURES?**

17 **A.** No. If the Commission orders that these costs be recovered in the port or
18 per-MOU rates, or in some combination of the two, it will be necessary to
19 modify the inputs to ICM-FL to include these costs in the port and MOU
20 TELRICs.

21

22 **MR. FISCHER'S REBUTTAL TESTIMONY**

23

24 **Q. WHAT PORTIONS OF MR. FISCHER'S REBUTTAL TESTIMONY**
25 **DOES YOUR SURREBUTTAL ADDRESS?**

1 A. This portion of my surrebuttal addresses Mr. Fischer's recommendations
2 concerning ICM-FL's modeling of operating expenses, including his
3 concerns with Verizon's use of the C. A. Turner indices and with ICM-FL's
4 calibration option. I also respond to his assertion that Verizon's common
5 cost allocator should be within a few percentage points of BellSouth's
6 allocator.

7

8 **Q. IS MR. FISCHER CORRECT THAT THE OPERATING EXPENSES IN**
9 **THE NUMERATOR OF ICM-FL'S EXPENSE-TO-INVESTMENT RATIOS**
10 **ARE NOT FORWARD LOOKING?**

11 A. No. The expenses have been made forward-looking through the
12 adjustments that Mr. Fischer listed in his rebuttal testimony: the
13 normalization entries for certain non-recurring items, removal of expenses
14 related to non-forward-looking technology, removal of avoided retail costs
15 and removal of costs that are identified and modeled through other cost
16 studies. (Fischer Rebuttal, p. 18). Additionally, as I discussed above, the
17 modeled expenses have been made forward-looking through a downward
18 adjustment to reflect yet-to-be-realized merger savings. Finally, as I
19 explain below, the numerators of the expense-to-investment ratios have
20 also been made forward-looking through the use of the C. A. Turner
21 indices to express the cost of the general support assets (the 21xx plant
22 accounts) on a reproduction cost basis.

23

24 Mr. Fischer's allegation that ICM-FL does not model forward-looking
25 operating expenses centers on his disagreement with Verizon's use of the

1 C. A. Turner indices, and on his claim that operating expenses should be
 2 determined through a bottoms-up determination of operating expenses.
 3 With respect to the latter claim, Mr. Fischer is espousing a standard that
 4 AT&T and MCI WorldCom have failed to embrace in Florida and
 5 elsewhere. Both of these companies have sponsored the HAI Model in
 6 numerous proceedings. This model, though flawed in many respects,
 7 adopted a similar "tops-down" approach to modeling operating expenses.
 8 Indeed, every model that I am aware of, including those filed before this
 9 Commission, has employed a similar approach.

10

11 **Q. IS VERIZON'S USE OF 2000 ARMIS DATA AS THE STARTING POINT**
 12 **FOR MODELING OPERATING EXPENSES APPROPRIATE?**

13 A. Yes. As I explained above in my discussion of Dr. Ankum's rebuttal
 14 testimony, if the objective is to estimate the forward-looking costs that
 15 Verizon will incur in unbundling its network, then the modeled network
 16 must have some basis in reality. The same is true for operating
 17 expenses. The 2000 ARMIS data used as a starting point were
 18 generated by the activities and resources needed to operate and maintain
 19 the network from which Verizon's UNEs are provisioned. There is no
 20 better starting point from which to model Verizon's operating expenses.

21

22 **Q. WHY DOES VERIZON BASE THE CARRYING COSTS OF THE**
 23 **GENERAL SUPPORT ASSETS (THE 21XX ACCOUNTS) ON THE**
 24 **REPRODUCTION COST OF THESE ASSETS?**

25 A. Unlike the number of poles or the amount of cable in the network, there is

1 no direct way to model the quantity of these assets needed to support the
2 network. It would be inappropriate to model the level of assets required
3 on the basis of their historical cost. For example, account 2124 (General
4 Purpose Computers) has a historical cost of \$91.3 million. The
5 reproduction cost of these assets, based on application of the C. A.
6 Turner indices by vintage year, is \$52.7 million. Likewise, account 2121
7 (Buildings) has a historical cost of \$229.0 million and a reproduction cost
8 of \$397.3 million. Clearly, the reproduction cost is closer to the forward-
9 looking cost of completely new assets than is the historical cost. Given
10 that it is not possible to model the required physical quantity of such
11 assets in the same way that one models the number of poles, etc., use of
12 the reproduction cost is the best possible approach to modeling the costs
13 associated with these assets.

14

15 **Q. WHAT IS THE PURPOSE OF ICM-FL'S "CALIBRATION" OPTION?**

16 A. When the user selects the calibration option, ICM-FL adjusts the
17 denominators of the expense-to-investment ratios so that they match the
18 modeled investment for three broad categories of plant: switching, circuit
19 equipment, and outside plant. The calibration option ensures that the
20 investments in the expense-to-investment ratios are consistent with the
21 modeled investments to which they will be applied. Even with this
22 adjustment, the total amount of expenses modeled by ICM-FL falls short
23 of the sum of the expenses in the ratios' numerators by \$11.8 million. If
24 the option is not used, then the shortfall increases to \$79.1 million.

25

1 Q. IS IT POSSIBLE TO "TURN OFF" THE C. A. TURNER AND
2 CALIBRATION ADJUSTMENTS IN ICM-FL AS MR. FISCHER
3 RECOMMENDS AT PAGES 20 AND 22 OF HIS REBUTTAL
4 TESTIMONY?

5 A. Yes. The option to select or not select the calibration adjustment is made
6 via ICM-FL's run-time options screen for expenses. The C. A. Turner
7 adjustment can easily be "turned off" by modifying the inputs found in the
8 FLGTEEXP.db table. Specifically, the "Adjust 1" value needs to be set
9 equal to one for each of the 2xxx accounts.

10

11 Q. WHAT IS THE RESULT OF THESE CHANGES?

12 A. The TELRIC for the two-wire loop decreases by 71 cents to \$22.23 per
13 month. Additionally, the total direct costs modeled by ICM-FL decrease
14 by \$18.2 million, total common costs decrease by \$2.5 million, and the
15 shortfall between modeled expenses and the sum of the numerators in
16 the expense-to-investment ratios equals \$59.9 million. Recognizing these
17 changes, including an adjustment for the \$59.9 million shortfall, results in
18 an increase in the fixed allocator from 14.09 to 19.89 percent. Surrebuttal
19 Exhibit DGT-6 summarizes the calculation of the shortfall in modeled
20 expenses, the change in direct and common costs, and the impact on the
21 fixed allocator. The net impact on the average 2-wire loop UNE rate is an
22 increase of 48 cents, to \$26.65 per month.

23

24 Q. IS MR. FISCHER'S ASSERTION THAT THE COMMON COST
25 ALLOCATORS FOR VERIZON AND BELLSOUTH BE WITHIN A FEW

1 **PERCENTAGE POINTS OF EACH OTHER WARRANTED?**

2 A. No. Mr. Fischer makes this assertion at page 25 of his rebuttal testimony
3 and supports it only with an appeal to “any measure of reasonableness.”
4 Mr. Fischer’s assertion rests on the incorrect assumption that Verizon and
5 BellSouth have modeled expenses and common costs in the same way.
6 A review of BellSouth’s testimony and cost study shows that the two
7 companies have not adopted the same approach. For example, costs
8 that BellSouth identifies as shared are modeled with specific “shared cost
9 factors” -- ICM-FL has no separate set of factors for shared costs, but
10 relies instead on the assignment of costs to cost pools based on
11 accounting detail at the work center and six-digit account level. More
12 important, large categories of costs that are identified as common by
13 Verizon are treated differently by BellSouth. For example, more than 35
14 percent of the carrying costs of the general support assets are treated as
15 common by Verizon -- these costs make up nearly 30 percent of
16 Verizon’s total common costs. BellSouth does not assign any of these
17 costs to the common category. Presumably, they are either directly
18 assigned to the UNEs or attributed via BellSouth’s shared cost factors.
19 The different treatment of these costs by the two studies serves to
20 increase Verizon’s fixed allocator in two ways. First, the treatment of
21 these costs increases the allocator by making the numerator larger in the
22 ratio of common to direct costs. Second, the allocator is increased
23 because these costs are excluded from the ratio’s denominator.
24
25

1 Q. DO THE DIFFERENCES BETWEEN THE TWO COMPANIES' COST
2 STUDIES MEAN THAT ONE IS SUPERIOR TO THE OTHER?

3 A. No. What it does mean is that Mr. Fischer's casual assertion that
4 Verizon's and BellSouth's common cost allocators should be within a few
5 percentage points of each other is unwarranted and should be
6 disregarded by the Commission. Because the two companies adopted
7 different methodologies with respect to identifying common costs, it is
8 clear that nothing can be learned from comparing the resulting common
9 cost allocators.

10

11

SUMMARY

12

13 Q. PLEASE SUMMARIZE YOUR SURREBUTAL TESTIMONY AS IT
14 RELATES TO DR. ANKUM'S TESTIMONY OVERALL.

15 A. Dr. Ankum's testimony and recommendations start from the false premise
16 that TELRIC estimates must be based on a hypothetical fantasy network.
17 In adopting this view, Dr. Ankum shows that he is not concerned with the
18 characteristics of the real network or with the costs that Verizon will incur
19 in provisioning UNEs. This is contrary to the Commission's view (in
20 980696-TP) that "there needs to remain a basis in reality if the costs
21 developed for the network are to have any relevance to the cost of basic
22 local telephone service." Contrary to Dr. Ankum's testimony, ICM-FL
23 does not produce unreasonably high UNE rates. In fact, modeled sheath
24 feet and investment are substantially below the actual sheath feet and the
25 reproduction cost of Verizon's existing Florida network. As I explained

1 above and in my direct testimony, ICM-FL assumes economies of scope
2 and scale that will never be realized and consequently produces cost
3 estimates that must be viewed as a lower bound on the forward-looking
4 incremental costs of provisioning UNEs to new entrants.

5
6 Dr. Ankum's rebuttal testimony also contains several unsupported
7 statements and inconsistencies. For example, Dr. Ankum's
8 recommendation for conduit fill simply appears in his exhibit AHA-6, and
9 he makes the unsupported claim that the drop is a very expensive portion
10 of the loop in ICM-FL. Additionally, Dr. Ankum recommends a 6:1
11 concentration ratio and also complains about the fiber-system fill factors
12 underlying Verizon's unbundled DS-1 study. At the same time, he
13 advocates the position that remote terminals should be pushed further
14 into the network -- something that will lower both the average
15 concentration ratio and the realized fills on fiber systems. Likewise, Dr.
16 Ankum recommends that switch costs be modeled as if Verizon replaced
17 the GTD-5 in 72 out of 90 wire centers in Florida. At the same time, he
18 insists that switch costs be heavily weighted towards initial switch prices,
19 and that the FCC's longer depreciation lives be used for digital switches.
20 These positions are inconsistent since, if all of the GTD-5 switches were
21 replaced, it is likely that the modeled prices for initial switches could not
22 be obtained from Verizon's other switch vendors. Moreover, even if an
23 efficient and rational carrier would replace all of its existing switches with
24 the most current technology, the required depreciation life for digital
25 switches would be much shorter than the 10 years sponsored by Mr.

1 Sovereign in his direct testimony.

2

3 **Q. PLEASE SUMMARIZE YOUR SURREBUTAL TESTIMONY AS IT**
4 **RELATES TO DR. ANKUM'S SPECIFIC CLAIMS AND**
5 **RECOMMENDATIONS.**

6 A. Dr. Ankum's claim that Verizon's cost study should reflect the post-
7 merger environment is deficient in several respects. First, Dr. Ankum fails
8 to realize that all of the anticipated merger savings were not realized on
9 day one of the merger, and were not expected to be fully realized until
10 three years after the close of the merger transaction. Second, he fails to
11 recognize that the number of customers and wire centers served by
12 Verizon in Florida have not changed as a result of the merger. Likewise,
13 there has been no change in the local markets in which Verizon Florida
14 purchases labor. In short, there have been no increased economies of
15 scope and scale with respect to these aspects of Verizon's Florida
16 network. Finally, Dr. Ankum completely overlooks the fact that Verizon's
17 cost study contains a downward adjustment in operating expenses to
18 reflect the anticipated merger savings. Because of these deficiencies in
19 Dr. Ankum's testimony, the Commission should ignore his
20 recommendations on this topic.

21

22 Dr. Ankum also wrongly claims that ICM-FL is not open and auditable.
23 He acknowledges that he has access to the model's code, but claims that
24 the model is not sufficiently flexible to allow model auditing and inputting
25 of different assumptions. This is simply not true -- nearly every input to

1 ICM-FL, including the DLC locations, is user-adjustable. Additionally, Dr.
2 Ankum's complaint that ICM-FL is not spreadsheet-based is belied by
3 AT&T's and MCI's own actions. Not only have they not levied this
4 complaint against BellSouth's model in this proceeding, they have relied
5 on the FCC's Synthesis Model to advocate their positions in other states.
6 Specifically, AT&T and MCI are currently sponsoring a modified version of
7 the Synthesis Model in UNE proceedings in Virginia, Maryland, and
8 Pennsylvania. In doing so, they have modified the loop portion of the
9 Synthesis Model, which has a code-based platform utilizing Turbo Pascal.
10 Clearly, even though Dr. Ankum may not have the expertise or ability to
11 modify ICM-FL's code, other employees and consultants employed by
12 AT&T and MCI can.

13
14 Dr. Ankum has made numerous recommendations concerning fill factors
15 and has claimed that TELRIC estimates should not reflect the cost of
16 capacity needed to serve future demand. In making his fill factor
17 recommendations, Dr. Ankum would have the Commission set rates
18 based on the cost of a network that is severed from reality and operating
19 at near capacity. Additionally, his recommended fill for distribution plant
20 is higher than the fill produced by the HAI Model that has been sponsored
21 by AT&T and MCI in many states, including Florida. Moreover, Dr.
22 Ankum's position concerning the cost of capacity for future growth is at
23 odds with the position of AT&T witnesses in Massachusetts, and ignores
24 the fact that today's customers benefit from the provision of spare
25 capacity. More to the point, it begs the question of how these costs

1 should be recovered if they are excluded from the rates established in this
2 proceeding. The answer is that they will not be recovered unless rates
3 are based on the point in time that a subscriber or an ALEC connects to
4 the network. Dr. Ankum's fill factor recommendations and his testimony
5 concerning capacity for future demand should be disregarded by the
6 Commission.

7
8 Dr. Ankum has claimed that the costs of an unbundled loop should be
9 based on an IDLC using the GR 303 interface instead of the UDLC
10 configuration assumed by ICM-FL. In making this claim, he has ignored
11 the fact that no switch or NGDLC vendors have commercially offered
12 products with the functionality required to support a multi-carrier operation
13 of a GR-303 interface. Except for the so-called "hairpinning" solution, all
14 of the hypothetical means of unbundling a loop from an IDLC require that
15 one or more DS-1s be dedicated to each ALEC from each DLC from
16 which they unbundle loops. Not only does this increase the number of
17 DS-1 links required, such an arrangement constitutes a different service
18 than an unbundled loop. Both Telcordia and MCI WorldCom have
19 acknowledged that "hairpinning" is wasteful of the ILEC switching
20 resources. The TELRIC of unbundled loops should be based on the
21 UDLC configuration assumed in Verizon's cost study filing.

22
23 The Commission should disregard Dr. Ankum's recommendation that a
24 6:1 concentration ratio be assumed when developing DLC costs. For one
25 thing, the fabricated example underlying Dr. Ankum's argument wrongly

1 assumes that total DLC costs will remain constant even though the
2 number of lines served increases. Moreover, increasing the
3 concentration ratio to 6:1 only impacts the costs of the DSX-1 panel and
4 associated cards in ICM-FL's IDLC inputs. Compared to the 4:1
5 concentration ratio assumed by ICM-FL, the 2-wire loop TELRIC
6 decreases by only one cent, assuming that IDLCs are used.

7
8 Dr. Ankum's drop length recommendations are supported only by the
9 statement that his recommended lengths "reflect that drops tend to be
10 shorter in densely populated urban areas, where one might find more
11 apartment complexes and town houses, than in suburban and rural
12 areas." This statement, while true, says nothing about the specific
13 lengths Dr. Ankum proposes the Commission adopt. Moreover, reducing
14 ICM-FL's input for the maximum average drop length to 165 feet
15 produces average drop lengths close to Dr. Ankum's proposal and only
16 reduces the average 2-wire TELRIC by a dime. The Commission should
17 ignore Dr. Ankum's drop-length recommendation because it is
18 unsupported and because the impact on the estimated costs is not
19 significant.

20
21 Dr. Ankum's criticism of ICM-FL's modeling of customer locations is
22 based on his incorrect assertion that ICM-FL assumes that "customers
23 are equally distributed throughout a fixed arbitrary grid," and that this
24 "results in excessive amounts of plant being modeled and plant being
25 placed to locations where no customers exist." As I explained above, this

1 is simply not true. Further, the HAI benchmark that Dr. Ankum points to
2 in support of geocoding is itself seriously flawed. In addition to being
3 expensive to implement, geocoding is not the panacea Dr. Ankum
4 purports it to be because failure to locate 100 percent of the customers
5 inevitably requires the use of surrogate locations. Finally, unless the
6 geocoded information is discarded before the modeled network is
7 designed, geocoding will substantially increase the time associated with a
8 model run. ICM-FL models customer locations correctly and Dr. Ankum's
9 testimony to the contrary should be disregarded by the Commission.

10
11 Dr. Ankum's claim that ICM-FL does not take advantage of the
12 efficiencies of fiber facilities should be disregarded by the Commission
13 because it is not true. ICM-FL assumes that all DLCs are connected to
14 the central office via fiber feeder routes. The only copper feeder modeled
15 by ICM-FL is the subfeeder needed to connect distribution plant to the
16 DLCs or, in the case of customers not served by DLCs, to the switch.
17 Further, ICM-FL efficiently uses fiber because all of the modeled fiber
18 routes -- including the interoffice fiber routes -- share the same sheath to
19 the fullest extent possible. Finally, Dr. Ankum's complaint should be
20 ignored because his objection could only be overcome by placing a DLC
21 at the first SAI modeled as one moves from the end user towards the
22 office. While this would eliminate all copper feeder in ICM-FL, the
23 resulting network would bear no resemblance to the network from which
24 Verizon provisions UNEs.

25

1 Dr. Ankum's complaint that ICM-FL does not model the placing of DLCs
2 within buildings should be ignored because it is based on a
3 mischaracterization of Verizon's Massachusetts testimony, and because it
4 fails to consider that the higher cost of CEV placements is not modeled,
5 even though CEVs occur in the real network. Further, Dr. Ankum is
6 espousing a standard not met by any model that has been filed in Florida,
7 including models sponsored by AT&T.

8

9 Dr. Ankum's criticism of Verizon's unbundled DS-1 study centers on his
10 disagreement with the fill factors used in developing the costs of the fiber-
11 based systems. His recommendation that a 90 percent fill implies that the
12 average site served by the smallest modeled fiber system would require
13 more than 25 DS-1 circuits, or 600 voice-grade equivalents. Basing
14 costs, and rates, on a fill that exceeds the actual realized fills upon which
15 Verizon's cost study is based means that total costs will not be recovered.
16 Accordingly, Dr. Ankum's unsupported recommendation should be
17 rejected.

18

19 Dr. Ankum's position on EELs has no merit whatsoever with respect to
20 the 41 percent of loops that ICM-FL models as being directly served by
21 the main distribution frame. With respect to the remaining loops, his
22 argument relies on the ability to unbundle loops from an IDLC, and should
23 therefore be rejected for that reason alone. Moreover, all of the
24 hypothetical arrangements for delivering loops to ALECs from an IDLC
25 either waste Verizon's switching resources or result in underutilization of

1 DS-1 circuits.

2

3 Contrary to Dr. Ankum's claim, the GTD-5 is a forward-looking switch and
4 is marketed and supported by its manufacturer, AGCS, Inc. Even if it was
5 appropriate to model switching costs as if all of the GTD-5s were replaced
6 -- something that Verizon has no intention of doing -- the switch prices
7 and other costs used by ICM-FL to estimate switching costs could not be
8 attained. Dr. Ankum's recommendation to replace the GTD-5 has no
9 basis in reality and should be rejected.

10

11 Dr. Ankum is simply wrong when he claims that Verizon bases its
12 switching costs solely on the pricing for switch additions. To the contrary,
13 ICM-FL's development of switch costs is consistent with Dr. Ankum's own
14 proposed method and results in a lower level of modeled switch costs.
15 Accordingly, Dr. Ankum's testimony on this issue should be ignored.

16

17 Finally, Dr. Ankum is wrong to suggest that feature costs are mostly non-
18 traffic sensitive. Feature costs arise out of right-to-use fees, specialized
19 hardware, and processor usage, and will in part be determined by the
20 ALECs' marketing of features to end users. If feature costs are to be
21 recovered either through the port or MOU rates, then ICM-FL will have to
22 be modified to include the feature costs in the corresponding TELRICs.

23

24 **Q. PLEASE SUMMARIZE YOUR SURREBUTTAL TESTIMONY AS IT**
25 **RELATES TO MR. FISCHER'S REBUTTAL TESTIMONY.**

1 A. Mr. Fischer is incorrect when he claims that ICM-FL's expenses are not
2 forward-looking. ICM-FL's expenses have been made forward-looking
3 through the normalization entries for certain non-recurring items; the
4 removal of expenses related to non-forward-looking technology; the
5 removal of avoided retail costs; the removal of costs which are identified
6 and modeled through other cost studies; and through a downward
7 adjustment to reflect yet-to-be-realized merger savings. The modeled
8 expenses have also been made forward-looking by basing the carrying
9 cost of the general support assets on their reproduction cost through use
10 of the C. A. Turner indices.

11

12 Mr. Fischer's objection to ICM-FL's "calibration" adjustment is unfounded.
13 The calibration adjustment is used to ensure that the investments in the
14 expense-to-investment ratios are consistent with the modeled
15 investments to which they will be applied.

16

17 Mr. Fischer's recommendations concerning the C. A. Turner indices and
18 the calibration adjustment should be rejected by the Commission.
19 However, if they are accepted, the common cost allocator will need to be
20 recalculated to reflect the change in common and direct costs, and to
21 correct for the \$59.9 million calibration shortfall. As a result, the allocator
22 will increase from 14.09 to 19.89 percent.

23

24 Finally, the Commission should disregard Mr. Fischer's assertion that
25 Verizon's and BellSouth's common cost allocator should be within a few

1 percentage points of each other. Because of differences in the underlying
2 identification of common costs, nothing can be learned by comparing the
3 resulting allocators for the two companies.

4

5 **Q. DOES THIS CONCLUDE YOUR SURREBUTTAL TESTIMONY?**

6 A. Yes.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. HUTHER:

2 Q Mr. Tucek, could you please briefly summarize your
3 prefiled testimony?

4 A Yes. Good afternoon. I am sponsoring Verizon's
5 long-run forward-looking economic cost model, ICM-Florida. My
6 direct and surrebuttal testimony cover a lot of topics and more
7 than 100 pages. In my summary today I am going to focus on
8 only three issues.

9 First, I want to emphasize that ICM-Florida produces
10 reasonable results. It produces reasonable results because it
11 is based on company and state specific inputs for material and
12 placement costs and is based on the existing wire center
13 locations, boundaries, and host/remote relationships found in
14 Verizon's Florida network. It is based on technologies Verizon
15 is using now and going forward. Additionally, the number and
16 locations of digital loop carriers or DLCs are not modeled by
17 ICM-Florida. Instead they are inputs to the model and are
18 based on the existing locations of the DLCs and feeder routes
19 in Verizon's Florida network.

20 Another reason ICM-Florida models reasonable cost is
21 that the cost estimates are lower bound. I explain in my
22 direct testimony at Page 20 that ICM-Florida models the network
23 as if it is built all at once, and because of that it assumes
24 economies of scale that cannot and will not be realized in the
25 real network. For that reason cost results are a lower bound.

1 A third reason why the cost results are reasonable
2 have to do with comparisons of the modeled results with the
3 real network. In my surrebuttal testimony at Page 8, I present
4 a comparison of actual and modeled sheath feet in the local
5 outside plant. Outside plant in total, not just local.
6 Overall, ICM-Florida models only about 80 percent of the actual
7 sheath feet found in Verizon's Florida network. In Surrebuttal
8 Exhibit DGT-1, I compare the model investment produced by
9 ICM-Florida with the reproduction costs in the existing network
10 and the model investment is about two-thirds or less than
11 two-thirds of the network's reproduction costs. So for those
12 reasons ICM-Florida overall produces reasonable cost estimates.

13 The second topic that I am going to address in my
14 summary is Doctor Ankum's criticism that ICM-Florida is not
15 testable and is not open and auditable. The charge that
16 ICM-Florida is not testable is simply not true. All of the key
17 inputs and decision rules that drive costs in ICM-Florida are
18 user adjustable or can be tested by changing the related input.
19 For example, in his rebuttal testimony Doctor Ankum asserts
20 that the drop is a very expensive part of a loop in ICM-Florida
21 because the model drop lengths are too long.

22 As I explain in my surrebuttal testimony, ICM-Florida
23 is flexible enough to test the validity of this assertion. To
24 see what the impact on loop length is all you really have to do
25 is set the minimum and maximum average drop length for one

1 foot, essentially setting all drops to one foot. Other
2 questions concerning ICM-Florida can be easily answered by
3 making suitable adjustments to the appropriate inputs. For
4 example, the impact of ICM-Florida assumptions concerning
5 preripping can be modified by changing the cost of preripping.

6 Doctor Ankum's assertion that ICM-Florida is not open
7 and auditable is largely based on his complaint that the model
8 employs a code-based platform instead of utilizing a
9 spreadsheet. This complaint is without merit and really
10 doesn't ring true. First, all of ICM-Florida's codes has been
11 made available to the parties both in text file and PDF form.

12 Second, AT&T and MCI have sponsored a modified
13 version of the FCC's federal universal service cost model in
14 UNE proceedings in Virginia, Maryland, and Pennsylvania. The
15 modifications that have been made to this model involve the
16 loop portion of the FCC's model which has a code based platform
17 utilizing Turbo Pascal. So even though Doctor Ankum may not
18 have personally had the skills needed to review and audit
19 ICM-Florida's source code, other employees and consultants of
20 AT&T and MCI certainly do.

21 Finally, the BellSouth model filed in the A track of
22 this docket has a mixed code and spreadsheet based platform
23 utilizing C++, Visual Basic, and Excel. To my knowledge
24 neither AT&T nor MCI has voiced concerns over BellSouth's model
25 because of its code-based platform. So Doctor Ankum's

1 complaint concerning ICM's code-based platform is simply not
2 consistent with AT&T and MCI's actions in other states or with
3 the position in the BellSouth portion of this docket.

4 Finally, a major area of disagreement between Doctor
5 Ankum and myself concerns the unbundling of loops for an
6 integrated digital loop carrier on an IDLC. Unbundling these
7 loops from an IDLC using GR-303 interface in a multi-carrier
8 environment to be exact. It is important to understand what is
9 being discussed with this issue.

10 An IDLC is a digital loop carrier whose interface
11 with the switch is on the trunk-side. It is a GS-1 level of
12 service. The termination of the switch is digital and the
13 voice paths associated with the DS-1s are said to be digitally
14 derived. So what we are talking about with this issue is the
15 provision of a digitally derived loop from an IDLC to another
16 carrier's switch. This is different than the UNE-P issue
17 raised by parties in the A track of this docket.

18 None of the papers included in Doctor Ankum's Exhibit
19 AHA-8 show that this can be done even in a technical sense.
20 Indeed, no DLC or switch vendor has commercially offered the
21 equipment or software needed to unbundle a digitally derived
22 loop in a multi-carrier environment. This is a fact that the
23 ALEC coalition has finally acknowledged in response to
24 Verizon's Interrogatory 26. Nevertheless it is possible to use
25 ICM-Florida to model costs as if this could be done, and I

1 presented these costs in my surrebuttal testimony. I note that
2 while it is just one more example of ICM-Florida's flexibility
3 it would be incorrect to model costs under this assumption.

4 In closing, I would just reiterate ICM-Florida uses
5 company and state-specific inputs, it produces reasonable
6 costs. ICM-Florida is testable, open and auditable. And
7 Doctor Ankum and the ALEC coalition's claims about unbundled
8 digitally derived loops from an IDLC are wrong. There is no
9 commercially available software equipment that would permit
10 this and it is not even technically feasible to do so. This
11 ends my summary statement.

12 CHAIRMAN JABER: Mr. Hatch.

13 MR. HATCH: Yes, ma'am.

14 (Transcript continues in sequence with Volume 6.)
15
16
17
18
19
20
21
22
23
24
25


1 STATE OF FLORIDA)
2 : CERTIFICATE OF REPORTER
3 COUNTY OF LEON)

4
5 I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter
6 Services, FPSC Division of Commission Clerk and Administrative
7 Services, do hereby certify that the foregoing proceeding was
8 heard at the time and place herein stated.

9 IT IS FURTHER CERTIFIED that I stenographically
10 reported the said proceedings; that the same has been
11 transcribed under my direct supervision; and that this
12 transcript constitutes a true transcription of my notes of said
13 proceedings.

14 I FURTHER CERTIFY that I am not a relative, employee,
15 attorney or counsel of any of the parties, nor am I a relative
16 or employee of any of the parties' attorney or counsel
17 connected with the action, nor am I financially interested in
18 the action.

19 DATED THIS 6th day of May, 2002.

20
21
22
23
24
25


JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732