

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. UNDOCKETED

In the Matter of  
FLORIDA RENEWABLE  
TECHNOLOGIES ASSESSMENT.

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 2

Pages 145 through 240

PROCEEDINGS: WORKSHOP

BEFORE: CHAIRMAN LILA A. JABER  
COMMISSIONER J. TERRY DEASON  
COMMISSIONER BRAULIO L. BAEZ  
COMMISSIONER MICHAEL A. PALECKI  
COMMISSIONER RUDOLPH "RUDY" BRADLEY

DATE: Wednesday, August 28, 2002

TIME: Commenced at 9:45 a.m.  
Concluded at 5:45 p.m.

PLACE: Florida Community College at Jacksonville  
Advanced Technology Center  
401 West State Street  
Jacksonville, Florida 32202

REPORTED BY: TRICIA DeMARTE  
Official FPSC Hearings Reporter  
FPSC Division of Commission Clerk and  
Administrative Services  
(850) 413-6732

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION

09731 SEP 13 08

FPSC-COMMISSION CLERK

1 (Transcript continues in sequence from Volume 1.)

2 P R O C E E D I N G S

3 CHAIRMAN JABER: Commissioners, on you agenda you'll  
4 see that Mel Jones was supposed to be next, but because of  
5 flight arrangements, he's agreed to allow Katie Cullen with the  
6 Municipal Solid Waste Facilities to take his place.

7 MS. CULLEN: Hello. I'm very glad to be here. I'm  
8 Katie Cullen, and I'm with the Integrated Waste Services  
9 Association. We're out of Washington D.C. We represent the  
10 companies and vendors and also all the municipalities from  
11 around the country who partner to build and operate these  
12 facilities. I'm getting old, you know. My eyes aren't what  
13 they used to be. I hate that. Glasses are in the future.  
14 There we go. Does that -- it works? Excellent.

15 So I'm just going to briefly just do an overview  
16 where we are in Florida. It's not working that way. Don't you  
17 roll it? I'll just do page then. There we go. This one will  
18 work?

19 COMMISSIONER PALECKI: Yeah.

20 MS. CULLEN: Okay. Great. Anyway, the focus of the  
21 presentation is, what role does waste energy play in Florida?  
22 How did we come to play this role? And what are the different  
23 approaches that states are using? And of course, lessons  
24 learned, as a lot people have that. You know, waste energy,  
25 I'm not sure, I'm assuming that most of the people know what it

1 is. There are 13 facilities in the state of Florida. And  
2 after stringent recycling at curbside, the rest of the garbage,  
3 which is about 80 percent biomass, is then put into these  
4 facilities. They're either direct combustion ash burn or  
5 they're RDF, refuse-derived fuel. Those are the two main in  
6 the state.

7           Fifty percent of Florida's population is served by  
8 these facilities, and of those communities that have waste  
9 energy, a third of the waste is disposed that way. The rest of  
10 it is, most of it is recycled. And Dade County does a  
11 50 percent recycling rate. The rest of it is burned and also  
12 made into a biomass fuel that is sent up to the Okeelanta plant  
13 and very little is landfilled.

14           There are over 500 megawatts in the state of waste  
15 energy. Obviously, it's the largest renewable source in the  
16 state, very sustainable. I can't see garbage going away any  
17 time soon, especially the biomass portion of it. And there's  
18 also within these facilities, most of them in Florida are owned  
19 by the municipalities, and there is still a lot of public bond  
20 debt to these facilities. So whatever happens to renewable  
21 energy in the state not only affects the vendors but it also  
22 affects the citizens and the municipalities, and it affects  
23 your garbage costs.

24           These are the counties that are served. As you can  
25 see, there are 13 of them, all the way down to Key West. And

1 all of these -- most of these municipalities not only have  
2 waste energy, they also have stringent recycling, a lot of  
3 curbside recycling. Most of them have landfills. Most of them  
4 are ready to do landfill gas projects if there are incentives  
5 there. And most of them also take the tree trimmings and  
6 produce a biomass fuel for the cane facilities. So Florida is  
7 very progressive in what it does with its municipal solid  
8 waste.

9           And again, you know, a lot of these facilities -- we  
10 haven't really talked about pollution control. This industry  
11 was the first under the 1990 Clean Air Act to actually retrofit  
12 all the facilities around the country to the tune of over \$1  
13 billion, most of that shared by the municipalities from around  
14 the country. We implemented these rules and regs in 1995. All  
15 the facilities were in compliance by year 2000. The EPA has  
16 just put out a new database, because I know that there are some  
17 questions about dioxin and mercury and some NOx emissions. And  
18 in fact, because of the combustion control for dioxins, we are  
19 now 99.4 percent on dioxin. So it can be done. The fabric  
20 filters, the scrubbers, you know, the nitrogen oxides control,  
21 mercury control, the carbon injection, and also the recycling  
22 mercury has brought those emissions down 95 percent. So we're  
23 very, very proud of it. Retrofits work. And I wish more  
24 facilities and more industries in the country would actually  
25 put on pollution control. It's just my little thing. We've

1 done it; we're still surviving.

2           We've all gone through this. I truly believe,  
3 however, that a state and the government in order to truly  
4 incentivize and develop renewable energy, it's not just one of  
5 these. You need portfolio standards. You need electricity  
6 funds, green pricing programs, disclosure of fuels and  
7 emissions, tax credits. I mean, you need a wide variety of  
8 incentives to actually make this go. One of the reasons wind  
9 has been so popular is because not only do they enjoy 1.8 cents  
10 tax credit federally, but they also have portfolio standards,  
11 for instance, in the state of Texas where they're mandated to  
12 put 2,000 megawatts of wind power in. They already have about  
13 1,000 in the ground there. So if you have a mandated  
14 marketplace plus tax incentives, you can actually make some of  
15 this stuff go, which is, you know, biomass and wind and a whole  
16 variety, and also you're merging some of the -- more of the  
17 emerging technologies that was talked about before.

18           I think everybody understands. I happen to believe  
19 that portfolio standards work, and they're very, very good for  
20 promoting it. Again, people have said this over and over again  
21 today. Credit trading, I didn't realize that there was going  
22 to be one on this, but we've already heard a very, very good  
23 presentation on credit trading. Green pricing you've heard.  
24 You know, it's good. A lot of utilities from around the  
25 country are using it. Example, some of the biggest ones are

1 Wisconsin Electric, TBA, Madison Gas & Electric, and I know  
2 Florida Power & Light are starting to.

3           This is sort of an interesting poll here. These  
4 polls -- a poll was done by the Union of Concerned Scientists.  
5 And this kind of goes against the idea of a voluntary approach  
6 to renewable energy because, in fact, people want renewable  
7 energy, and they're willing to share in the cost if everybody  
8 else shares. But in green pricing programs, frankly, they just  
9 don't provide the type of incentive. I think they are more  
10 sort of look good, feel good, but they really don't provide an  
11 incentive to actually develop and build new facilities. And in  
12 many of these states and cases here, when people are asked,  
13 they are willing in their bill if everyone shares to -- if it  
14 costs an extra dollar or two a month, or whatever it costs, I  
15 think most people are willing to do that.

16           And again, the last part of this is lessons to be  
17 learned. There are portfolio standards and electricity funds  
18 around the country. And if you all decide to recommend that to  
19 the Legislature, I would just want you to be pragmatic. There  
20 are portfolio standards which are too large, and there are  
21 portfolio standards in some states which are too small and they  
22 don't fit the need of the particular area. For instance,  
23 Connecticut's. They actually didn't give the utilities and the  
24 people enough time to comply, so they delayed it for three  
25 years because they realized they couldn't get that kind of

1 renewable energy in the ground so they have delayed it.

2 Same thing in Massachusetts. In Maine, the opposite.  
3 Their definition is so broad there is actually 45 percent  
4 renewable power in the state. Their portfolio standard only  
5 covers 30 percent. It doesn't cover the existing renewables.  
6 So what has happened in Maine is, a couple of biomass plants  
7 and a couple of wind facilities have shut down because there's  
8 no market for them.

9 And I think that's -- my last point is when you're  
10 considering this is to also consider the existing facilities.  
11 To me, it doesn't make any sense. They were all formed under  
12 PURPA. They all had a government incentive. That is going  
13 away under the Federal Energy Bill. There will be very few  
14 long-term contracts signed under PURPA anymore. And that the  
15 existing facilities, while they are commercialized and running,  
16 without long-term contracts, a lot of them still are a little  
17 bit above power. Don't forget the existing base, I think, in  
18 your state, that those facilities also need to be protected.  
19 It really doesn't make sense to ignore the existing facilities  
20 and only try to invest in new when you may shut down  
21 40 megawatts of renewable power only to build 20, so you're  
22 actually going backwards and not forwards. And again, thank  
23 you very much.

24 CHAIRMAN JABER: Thank you, Ms. Cullen.

25 Questions, Commissioners, of Ms. Cullen?

1           Okay. Thank you. Commissioners, we need to take a  
2 ten-minute break for the court reporter, and then we'll come  
3 back with Mr. Cunilio of the Center of Sustainable  
4 Agroforestry.

5           (Brief recess.)

6           CHAIRMAN JABER: We're going to go ahead and get  
7 started. Our next presenter is Thomas Cunilio with the Center  
8 of Sustainable Agroforestry.

9           MR. CUNILIO: Thank you, Madam Chairman, and thank  
10 you to the Commissioners for getting us together. It's my  
11 first chance to do this. My name is Tom Cunilio. I'm going to  
12 read some comments into the record. I don't have slides, and I  
13 hope you're grateful for that. I'm an agronomist -- and I walk  
14 around a lot when I talk -- because I produce biomass energy,  
15 or I produce biomass crops. So I'm sort of a farmer. And I  
16 also have done research with the University of Florida. In  
17 fact, the Center of Sustainable Agroforestry, which was  
18 established in 18 -- 1989, I feel sometimes that old, was  
19 incepted at the University of Florida in the office of  
20 Dr. Gordon Prine (phonetic) who is here present. And I'm proud  
21 to know him as an agronomist, as an educator, as a teacher.  
22 Dr. Prine and I have worked together on publishing three papers  
23 on biomass species which I particularly have fallen in love  
24 with since getting my degree at the University of Florida. And  
25 because the Center of Sustainable Agroforestry is so small, I'm



1 going to tell you a quick -- give you a quick bio.

2 I received a degree in political science from John  
3 Carroll University which is in Cleveland. It's a Jesuit  
4 school, so I had the rigour of a Jesuit education. I went to  
5 the Peace Corps in 1968. I almost joined the U.S. Marine Corps  
6 because my dad was a marine. In 1972, I returned from the  
7 Peace Corps, went to work as a student again to get a degree in  
8 agriculture in agronomy at the University of Florida, and then  
9 I worked in biomass development at the University of Florida  
10 when the Gas Research Institute had a lot of money flowing  
11 there in Gainesville and they were studying biomass species.

12 We were screening for methane production, actually  
13 fermentation. Some of you might remember that. I had to  
14 become a teacher after Jimmy Carter was not reelected, so I  
15 taught. I got a Master's degree in Spanish. I consider the  
16 Center of Sustainable Agroforestry a company that is interested  
17 in social entrepreneurship, and by that I mean, we take --  
18 we've transferred some interesting species, some crops from  
19 Gainesville, and we turn them into businesses owned and  
20 operated by farmworkers. That's where I use my Spanish.

21 We have a tremendous population of willing and able  
22 workers in this state who are currently looking for work,  
23 specially in central Florida. They're called farmworkers. So  
24 I'm going to read to you my comment, read them into the record,  
25 and leave them for the Commissioners.

1           In the summer of 1999, the Clinton Administration  
2 announced a new policy that made great sense to many of us in  
3 agriculture. It stated that in view of the dangers posed by  
4 both global warming and a petroleum supply that is increasingly  
5 based on imports, and given the growing federal deficit coming  
6 in part from a very greatly expanded farm program, and finally  
7 given the need to preserve farmland and increase its employment  
8 potential among Hispanic farmworkers, federal support would be  
9 given for incentives to farmers to grow energy crops. As a  
10 result of this new policy, several programs were in fact  
11 developed that still continue even under George W. Bush. The  
12 USDA, for example, has an office for global climate change  
13 where new dollars are apparently available.

14           The Sunshine State, our great state of Florida, has  
15 really not received, in my opinion, a lot of attention from too  
16 much quarters when it comes to program development in this  
17 particular area. The Department of Energy has three feedstock  
18 programs for every area of the country but ours. IFAS does not  
19 even recognize renewable energy as a program priority, though  
20 its vice president for agriculture, Mike Martin, wishes it  
21 were -- wishes it would recognize it. The best research IFAS  
22 has done -- and IFAS, by the way, is the Institute of Food and  
23 Agricultural Sciences of which I am a graduate at Gainesville  
24 which is the land grant school in the state of Florida where we  
25 produce our agricultural expertise. IFAS has done in the area

1 research which was sponsored by the Florida Institute of  
2 Phosphate Research. This research has not resonated within the  
3 agricultural establishment. The Farm Bureau, which is a big  
4 statewide entity, its policy desk does not even accept the  
5 global warming evidence. Part of the problem is that there is  
6 no accounting method to measure the cost to society if the  
7 CO2 concentration is doubled by the end of the century.  
8 Biomass, we are told, must be given free to the utilities.

9           Yet the best soils in the state of Florida for energy  
10 crop development, and this is biomass, a form of renewable  
11 energy, energy crops are in fact the least expensive since they  
12 cannot be sold for development houses. These are the clay  
13 settling pond soils of the former mined lands, phosphate  
14 mining, of central Florida and the place, I believe, that this  
15 battle must be fought if it is to be one. COSAF, my  
16 not-for-profit corporation, NGO, is the only corporation that  
17 has persisted with a project in that part of the state. The  
18 first demonstration planting of a biomass crop on the clay in  
19 1998 was also by chance accompanied by a NREL, National  
20 Renewable Energy Lab, sponsored study done by Polk County and  
21 IFAS which verified what we at COSAF had been saying for years,  
22 which is, you have to approach biomass energy as agronomists  
23 and not as foresters. This means species must be used that  
24 are, one, planted from seed; two, are perennial in nature;  
25 three, will produce in the second year; and four, can be

1 harvested, and this is the most important one, can be harvested  
2 with conventional farm equipment.

3 Conservation yield figures applied to the 100,000  
4 acres of settling pond clay soil now available would net 1.5  
5 million tons per year or more than enough to run Polk Power on  
6 biomass alone. I won't go into the content or Btu content, but  
7 I look at it and compare it to \$44 a ton coal.

8 The effect of a large scale demonstration planting on  
9 the rest of the diminishing farmland of the state could be  
10 pronounced. For the GRUs, Gainesville Regional Utility, and  
11 the JEAs of the state to feel comfortable with green biomass  
12 energy crops, the same species characteristics successful on  
13 clay will have to be applied to the sandy soil. Depending on  
14 the species planted, wood may be merely a by-product. There  
15 are trees, for example, whose leaf is equivalent to alfalfa  
16 which sells in this state for \$150 a ton. To my knowledge,  
17 multipurpose small tree species are not being effectively  
18 studied by the U.F. College of Forestry. To make biomass as  
19 inexpensive as possible, co-products will have to be considered  
20 before thermal combustion or fermentation, which has really not  
21 been mentioned today very much, is applied to the carbon.

22 As far as carbon itself goes, while there are dozens  
23 of proposed strategies to remove CO<sub>2</sub> from the earth's  
24 atmosphere, the real opportunity for Florida is to take  
25 advantage of biological fixation via plant growth. A recent

1 approach is to consider carbon accumulation in the soil, in the  
2 root systems of fast-growing perennial tree species and  
3 carbon 4 grasses.

4 So in conclusion, we at COSAF, the Center of  
5 Sustainable Agroforestry, a small NGO headquartered in St. Leo,  
6 Florida, suggest then, Commissioners, that R&D design be  
7 incorporated in pilot projects employing multipurpose species  
8 for aboveground biomass and carbon sequestration in the root  
9 system. Experience justifies growing selected species as  
10 agronomic crops on settling clay pond soils of central Florida  
11 for such R&D. Thank you.

12 CHAIRMAN JABER: Thank you, sir.

13 Commissioners, any questions? Okay. Thank you for  
14 your presentation. I have that Frederick Murrell from Biomass  
15 Development is next.

16 MR. MURRELL: Good afternoon. My name is  
17 Fred Murrell, and we're delighted to be here. The last time I  
18 appeared before the Public Service Commission I was sitting  
19 there as vice president for electric fuels in March of 1984.  
20 That's been a few years. Biomass Development Company is a  
21 division of Carbon Development Corporation, and we're coal  
22 guys. We've got a friend whose been in the biomass business  
23 for 15 years, and when we told him we were very interested now  
24 in this particular segment of the industry, he said that we  
25 were coming in out of the dark side. And I guess maybe there's

1 something to that, but we're happy to be here.

2 Our operations are in Indonesia, Chile, and here in  
3 the good old United States. We do about 30 million tons of  
4 coal a year in our various operations. We're experienced in  
5 energy projects. We're involved in the construction of a  
6 1,200-megawatt energy -- power plant in Indonesia. And we have  
7 done a number of different things. Our principals have  
8 produced coal fiber pellets which is a form of biomass  
9 infusion, and we've got quite a bit of Section 29 project  
10 experience which leads us to an interest in some of the  
11 projects that are pending before Congress right now.

12 One of the things that we like about the prospect of  
13 biomass here in Florida is that we believe we have a good  
14 development -- or we've developed a good delivery system for  
15 getting biomass into existing utility boilers without any kind  
16 of a derate and we hope without any kind of a negative impact  
17 upon the boiler itself. We do think that that's a good way to  
18 get a substantial amount of biomass into a utility boiler. We  
19 spent a lot of our own -- our personal money developing a  
20 delivery system in the form of a very inexpensive gasifier  
21 called the Ashworth combustor. It's developed by one of the  
22 companies that we're principals in called ClearStack Combustion  
23 Corporation. And it was developed initially and primarily as a  
24 coal delivery technology on the combustion side.

25 We're in demonstration right now in Lincoln,

1 Illinois. We've got our first commercial size plant up. And  
2 we're expecting to get SO2 reductions on a front-end basis down  
3 by 70 percent or more, we hope. We reduced NOx emissions down  
4 to 0.15 percent or less, and we get particulate capture from  
5 somewhere between 70 to 80 percent. So that means that we  
6 capture 70 to 80 percent of the particulate matter before it  
7 goes into the boiler. And we're very excited about this  
8 technology. We think it has an application in the biomass  
9 arena, and we believe that by delivering a hot combustible gas  
10 to the utility companies and other users, including industrial  
11 users, we can provide them with a competitive very, very clean,  
12 very environmentally-sensitive feedstock.

13           We like very much the fact that the biomass offers a  
14 lot of benefits. We think that it's -- we know it has very low  
15 sulfur. In most instances, it has extremely low sulfur. If we  
16 put it in with our delivery system, it will have even less. We  
17 offer very low NOx with our delivery system than biomass in  
18 general typically does. Biomass often offers low mercury. We  
19 have to be somewhat selective about how we go about our  
20 feedstocks, but there's no question, you can adjust and you can  
21 affect mercury production by your feedstocks, and we think  
22 biomass offers some good things there. And biomass is often  
23 carbon neutral. So to the extent that the issue of the Kyoto  
24 type of carbon tax issue becomes important, then that's going  
25 to be an important issue.

1           What can the states do? This has been discussed a  
2 lot, and I'm not going to spend very much time at all here  
3 except to say that those of us who are putting our own money  
4 into these type of projects are very interested in seeing what  
5 the states do. And the one thing that we'd like to point out  
6 is what's incredibly important to us is predictability,  
7 dependability of a system so that we can know that it's going  
8 to work for us long enough to satisfy our lenders. While you  
9 might be able to satisfy us with a more flexible program, we  
10 need to be satisfying our lenders.

11           The last projects we put together we had to borrow  
12 \$190 million to put those projects together, and of course, we  
13 had to satisfy our lenders, our investors on those projects.  
14 And that's the kind of thing we need. We need dependability  
15 and surety from the state. And that's what we -- we recognize  
16 that you're not sitting here as a legislative body, but you're  
17 going to be giving some recommendations to the Legislature.  
18 And so we think there are lots of things that you can tell  
19 them. And we're looking forward to the output of this event  
20 and others like it when you respond back to the Legislature.  
21 And we're very excited to see so many people show an interest  
22 in this.

23           A renewable portfolio standard is one thing that can  
24 be done. We like that idea. We think it's worked well in  
25 other states. The state can increase restrictions on power



1 plant emissions. We're not here to lobby for that, and I don't  
2 want my power company friends to think we are, but certainly it  
3 is something that can be done and has been done. And we'll  
4 have a little slide on that later in this presentation. And  
5 encourage green power programs and what I didn't put up here  
6 which I really needed to put up here, because I think of it  
7 more on the basis of a federal program, is very much in the  
8 area of tax programs, where you get a tax incentive program, a  
9 Section 45 type of program, a Section 29 type of program to  
10 encourage biomass. We think that a lot of that is pending in  
11 the Senate energy bill which is in conference with the House  
12 bill. And we'll have to wait and see how that comes out.

13           States with renewable portfolio standards are listed  
14 here. You've seen this a couple of times today. States that  
15 have reduced emission standards for power plants, it's listed  
16 here: Connecticut, New Hampshire, New York, California, Texas  
17 and others are in the hopper right now. We're moving currently  
18 1 million tons of coal from our coal mine in Indonesia which  
19 has got the lowest sulfur coal in the world, 0.1 percent  
20 sulfur. We're moving that all the way to Connecticut right now  
21 as a result of the changes in statute in Connecticut. So that  
22 has an impact on buying activities. And if something is done  
23 to encourage renewable purchase activities, then that could  
24 also have a positive impact on renewables.

25           Green power programs, you've heard from better people

1 than me on this, so I'm going to not waste your time.  
2 Florida's biomass fuel, we've got an extended growing system  
3 here in Florida. Florida is a great state. The principals of  
4 our company are located here in Florida. I was born in  
5 Florida, and I guess I'm now a fourth generation Floridian. We  
6 really believe in it. We'd love to do some business here in  
7 this good state. So we've got an extended growing system. We  
8 have a growing population. We have increased waste streams  
9 coming as a result of that. Existing population of manure  
10 producing feedlots which interests us very much with our  
11 technology as does human sewage.

12           Now, biomass fuel, we believe, is getting close to  
13 being competitive. Direct firing of biomass has been touched  
14 on here, but the point to be made is the second point here, and  
15 that is that when you take wood and you chop it up and you  
16 stick it into a coal-fired boiler, it's just not -- it's not  
17 designed to accept that. It hangs up in the pulverizer. It  
18 can create some derating issues. The good folks from Gulf  
19 Power this morning mentioned something that I was not even  
20 sensitive to and that is the potential of poisoning selective  
21 catalytic reduction reagents or those chemicals that are needed  
22 to make the SCR process work.

23           There are some adverse qualities. Moisture is one of  
24 them. Slagging and fouling indices can have another impact on  
25 it. So it's something we have to be sensitive to. It's one of

1 the reasons we like the ClearStack delivery technology. We  
2 think as a result of that and of course it's -- we're obviously  
3 beating our own drum here, but we think that our preferred  
4 method of presenting biomass into a coal-fired unit or into  
5 any -- also oil-fired units. We think that if you produce  
6 biomass gas, you can also displace oil, which is a very  
7 exciting prospect for us. You can produce it as gas, put it in  
8 coal-fired and oil-fired boilers. It eliminates many of the  
9 problems you find with direct firing of wood and allows for a  
10 much higher percentage of biomass to be us introduced into the  
11 power production process than if you just tried to dribble in 3  
12 percent by energy of wood into, say, a coal-fired unit.

13           No adverse impact on the boiler if biomass system is  
14 down for maintenance. In other words, we can provide a hot gas  
15 stream that when we're down, it doesn't have any impact on the  
16 unit. We go down; it doesn't hurt the unit. They can still  
17 stay up on their native fuel, whether that's coal or oil.

18           The pending energy bill, which we're spending a  
19 little time and effort and money on to try to give it some  
20 guidance from our side. The Senate version of course is  
21 greener. I'm sure you all have been through that. It provides  
22 for more tax credit programs which are much more friendly to  
23 the renewable industries. It emphasizes renewable energy much  
24 more than does the House version. It expands qualified biomass  
25 fuels and expands the Section 45 production tax credit, which

1 is very interesting to a lot of us.

2           What's needed? We got -- biomass is getting better  
3 and better. It's getting more affordable every day. Natural  
4 gas pricing for February, if you're looking at your -- if other  
5 people have been following, natural gas futures peaked over \$4  
6 an MCF in -- this is last Friday when I put this slide  
7 together. So natural gas is moving up. Biomass needs some  
8 help. It needs a little bit -- a little nudge here, RPS and  
9 some other nudges, some other programs from the various states  
10 to make it work, but it's very close to being in the position  
11 to work. And we think that the fact that it offers tremendous  
12 environmental compliance and a lowering of emissions should be  
13 a great sales point for helping to make biomass a success. And  
14 that's it for us. Thank you very much. I'm delighted to take  
15 any questions.

16           CHAIRMAN JABER: Thank you, Mr. Murrell.

17           Commissioners, do you have any questions? Okay.

18 Thank you very much.

19           Rich Zambo.

20           MR. ZAMBO: Hi. My name is Rich Zambo. I'm here  
21 today on behalf of the Florida Industrial Cogeneration  
22 Association. I want to thank you, Commissioners, for allowing  
23 us the opportunity to make the presentation. The Cogeneration  
24 Association is a trade group of Florida industries. Today, I'm  
25 here specifically on behalf the phosphate fertilizer members of

1 that group. Phosphate is an indigenous mineral resource to our  
2 state. Our fertilizers are crucial to the production of grain  
3 and food crops, maybe the biomass crops also based on what I  
4 heard today.

5           Some of the largest phosphate deposits in the U.S.  
6 are located in Florida. And Florida is one of the largest  
7 domestic producers of phosphate fertilizer. So you might say,  
8 what's this got to do with renewables? Well, phosphate  
9 processing requires large quantities of sulfuric acid.  
10 Sulfuric acid is typically manufactured at or near the site of  
11 fertilizer, and it's highly integrated into the fertilizer  
12 production process. And it therefore is -- it becomes an  
13 indigenous energy resource because sulfuric acid manufacture is  
14 an exothermic reaction which releases lots of waste energy. In  
15 fact, it produces so much energy that it can't all be captured  
16 and used in the process. Some of it is used for process needs.  
17 Some of it can be converted into higher energy steam for  
18 electric generating applications.

19           Currently in Florida, our waste heat power and  
20 electric generating capacity is in the range of 430 -- it's  
21 probably a little higher than that. I think I may be a little  
22 conservative on that number. It may be closer to  
23 500 megawatts. The vast majority of that capacity is used to  
24 reduce or replace electricity purchases, what we call net  
25 billing. We generate it; we use what we need for our process;

1 we sell the excess onto the grid. When we need to, we buy  
2 power back. Typically, it operates at very high availabilities  
3 and capacity factors, typically in the 90 percent range.

4 We estimate that we've reduced the firm demand on  
5 utilities by 250 to 300 megawatts. And if we applied the  
6 latest technology to our existing plants, there's approximately  
7 140 megawatts of additional generating capacity that could be  
8 produced. It's a mature technology. It uses basically steam  
9 turbine generators. It's been around for a long, long time.  
10 In fact, the fertilizer industry in its infancy in Florida  
11 generated its own power because the transmission lines weren't  
12 available to take power out into the fertilizer areas.

13 And this is a slide. I took this out of Tampa  
14 Electric's ten-year site plan which was just filed with the  
15 Commission earlier this year. And you will see that Tampa  
16 Electric relies on self-service cogeneration currently as 20  
17 percent of their demand-side resources which amounts to about  
18 250 megawatts, I think. And although the percentage is a  
19 little bit lower in 2011, on a megawatt basis, they are  
20 expecting an increase.

21 Okay. This is the summer on a summer basis that  
22 because of the difference in the peak, we have a bigger  
23 percentage or difference in the programs, actually. It  
24 constitutes a much bigger percentage of Tampa Electric's  
25 demand-side resources. I'm sure there's a similar effect with

1 Florida Power Corp and maybe Florida Power & Light, but I  
2 didn't have the data available from those utilities. There's  
3 essentially no environmental impacts from the use of this  
4 energy source. The waste heat is captured -- the waste heat is  
5 there whether we capture it or not. It's a part of the  
6 manufacturing process. So we actually have no fuel combustion,  
7 no greenhouse gas combustion, no incremental heat load or heat  
8 release, no air or waterborne discharges, no incremental water  
9 consumption.

10           The main reason I'm here today is because House Bill  
11 1601, which is the reason you all have convened these  
12 proceedings, for some reason, left waste heat out of their  
13 formula. They included pretty much every other source of  
14 renewable. And so the rest of my -- or part of this  
15 presentation is to convince you that in your wisdom you should  
16 include waste heat recovery in your recommendation to the  
17 Legislature.

18           And I would just point out that the Federal Energy  
19 Regulatory Commission has determined that energy produced from  
20 the recovery of waste heat does qualify as a small power  
21 producer, along with wind and biomass and wind and solar and  
22 hydro. And in fact, your definition, the Commission's  
23 definition of a small power producer which is included in your  
24 rules refers to generically waste, and we believe that that  
25 would include the recovery of waste heat from the industrial

1 process. This is the definition that was included in 1601.  
2 And we hope that in your -- after you are familiar with our  
3 technology and what we can do, that you'd be willing to include  
4 us in that "included but not limited to" phrase, which is where  
5 we think we belong. Our recommendations --

6 CHAIRMAN JABER: I'm sorry. May I interrupt you?

7 MR. ZAMBO: Yes.

8 CHAIRMAN JABER: But I was looking at that  
9 definition, and frankly, it seems broad. Do you have reason to  
10 believe that the statutory intent was to leave waste heat out?

11 MR. ZAMBO: Absolutely not.

12 CHAIRMAN JABER: Okay.

13 MR. ZAMBO: No, absolutely not. I believe it was  
14 intended to be there, and it was an oversight that it was not  
15 included.

16 CHAIRMAN JABER: All right.

17 MR. ZAMBO: Recommendations for strategies to  
18 increase the use of renewable resources, one, is defined waste  
19 heat generation as renewable energy; second, some exemptions  
20 from the Florida Electrical Power Plant Siting Act. What  
21 happens is, you get to a situation where one or two of our  
22 members are at the point now where they could recover some  
23 additional energy, maybe add another 10 or 15 megawatts to  
24 their site, but that would put that site over the 75-megawatt  
25 limit of the Power Plant Siting Act which requires the Power



1 Plant Siting Act process and requires a need determination.  
2 And although we think we would be exempt from the need  
3 determination because we would have the need ourselves, that's  
4 an issue that is likely to generate some controversy. So it,  
5 frankly, is preventing people from doing some of those things  
6 right now. There could be some additional generation added but  
7 not for the -- were it not for the threat of the Power Plant  
8 Siting Act.

9 I think in any strategies you need to recognize the  
10 relatively high capital costs involved in installing these  
11 facilities. So if you were looking to this as a long-term  
12 contract of supply to the utility, it would have to be the type  
13 of a contract that would allow them to recover their capital  
14 costs. Our energy cost is very low, but our capital and our  
15 maintenance and carrying costs are fairly high. And the other  
16 thing is, you need to maintain a ready market for waste heat  
17 electricity. If someone has the ability to produce additional  
18 capacity, there needs to be a market. And there are times when  
19 the utilities are not in the mood to purchase power and that  
20 has a chilling effect on the development of additional  
21 capacity. That's a summary, and I'll just skip through that.  
22 It's in the slides that I handed out to you. So I appreciate  
23 the opportunity to speak with you.

24 CHAIRMAN JABER: Thank you, Mr. Zambo.

25 MR. ZAMBO: You're quite welcome.

1 CHAIRMAN JABER: Commissioners, do you have any  
2 questions?

3 COMMISSIONER BRADLEY: Yes, I have a question.

4 CHAIRMAN JABER: Commissioner Bradley.

5 COMMISSIONER BRADLEY: On Page 11 under your  
6 recommendations, one of your recommendations is to exempt you  
7 from the Florida Electrical Power Plant Siting Act. What is  
8 the intent of that statement, or what would the impact of that  
9 be?

10 MR. ZAMBO: Well, currently, if we get above 75  
11 megawatts, we need to apply for permitting through the Power  
12 Plant Siting Act. Typically, these facilities, a cogeneration  
13 plant at a phosphate fertilizer company is just a little dot on  
14 a huge map. I mean, the facility has already been permitted  
15 under every other state and federal and local requirement. The  
16 power generation is just a very, very small piece. There's no  
17 environmental impact because all we're doing is recovering heat  
18 off the process, but yet the threat of having to go through  
19 process, that lengthy 18-month process, we then have to come to  
20 the Commission for a need determination, and there may be some  
21 questions as to whether or not we're a qualified applicant.  
22 There may be some questions as to how you determine the need  
23 for that capacity, and ultimately, there's potential for an  
24 appeal to be filed. So whatever plan we may have before us,  
25 you have to add in a 24- or 36-month delay, and oftentimes,

1 other opportunities come up and so we'll spend our money  
2 somewhere else instead of -- did that answer your question,  
3 Commissioner?

4 COMMISSIONER BRADLEY: Yes.

5 CHAIRMAN JABER: Thank you, Mr. Zambo. Okay. Our  
6 next presenter is Mel Jones from Sterling Planet. And thank  
7 you, Mr. Jones for accommodating another presentation.

8 MR. JONES: No problem. Let me set this up, and I'll  
9 be ready to go. It's getting to be a long day, isn't it? I  
10 don't know if you all have ever watched this new T.V. show  
11 called American Idol. Well, this panel looks like that.

12 CHAIRMAN JABER: That's cold. I don't take that as a  
13 compliment. I don't know about the rest of you, but I have  
14 caught that show a couple of times, and I don't think we were  
15 complimented just now.

16 MR. JONES: Thanks for your time.

17 CHAIRMAN JABER: So your presentation is over. Thank  
18 you.

19 MR. JONES: I do have one joke before it's over, but  
20 I'll save it. Thanks again, ladies and gentlemen. Can  
21 everybody hear me now? My name is Mel Jones, and it's probably  
22 not obvious, but I'm not from the same place that  
23 Ashley Houston is in Boston. I'm from Atlanta, Georgia. And I  
24 was privileged for 19 years of my life to work at the Southern  
25 Company and learned a lot about power generation there. But

1 also what I learned is, we decided to form a company called  
2 Sterling Planet about three years ago. I was fortunate enough  
3 to open up this company with our founder. At the time, he was  
4 treasurer at one time with Southern Company and help set up and  
5 was chief financial officer of several of the subsidiaries and  
6 helped set up Mirant and ran that for five years. Of course,  
7 at that time, it was called Southern Electric International.

8 But what I want to do to talk today is not talk much  
9 about our company or much about renewable energy technologies.  
10 I want to talk about renewable markets. And I think what you  
11 saw when Ashley spoke, she talked a lot about what's happening  
12 in other parts of the country. I want to center this  
13 presentation on what's happening right here in Florida. And  
14 what I want to do is give about three or four slides that kind  
15 of tell you what our company is doing, so it can translate as  
16 you go forward and review whatever kind of policy you want to  
17 set forward, what it may be that helps utilities actually make  
18 them work at work.

19 First of all, Sterling Planet's sole mission in life  
20 is 100 percent focussed on renewable energy, and that means not  
21 only the marketing and the categorizing of whichever type it  
22 is. We can focus on all five renewables, but we also believe  
23 the only way to actually make the market happen is work with  
24 the most credible group of people. If you think about  
25 electricity, is your local utility. And our model for years

1 has been a local utility, so we think we know a good bit about  
2 the issues they deal with every day.

3 We also have a green partnering program that I was  
4 fortunate enough to hear Gary say very kind words about what  
5 we're doing, but it's really a partnership with a utility,  
6 under their auspices, under their brand, and under their  
7 control. But because it is very expensive nowadays to hire a  
8 bunch of people and start a focus around something that may not  
9 be a large amount of revenue, we have a revenue-sharing model.  
10 And what I wanted to talk about today is not so much about  
11 supply marketing but how to make renewable certificates work.  
12 And I'm going to give you some real world examples, not theory  
13 of what certificates are. So I think in some ways you'll get a  
14 kick out of some of those concepts.

15 Also, two of our clients are represented right here.  
16 We partner with utilities on the scope of work that they want  
17 us to work with them on. The City of Tallahassee we do in  
18 partnership with them their renewable energy program, not  
19 because they are not committed. I believe they are one of the  
20 most committed group here, but they don't have a lot of extra  
21 resources to focus on that. Whereas, JEA, another local  
22 utility, has asked us to help them monetize a lot of their  
23 large commitment on supply into other markets.

24 We also -- starting Friday, which is interesting --  
25 it's an exciting time for us, is rolling out a renewable energy

1 program for Niagara Mohawk which is a fairly large  
2 investor-owned utility in the state of New York. And we've  
3 partnered with Austin Energy. From a municipal standpoint, it  
4 probably has one of the most credible green programs out there.  
5 So we are working in a deregulated state of Texas. We're  
6 working in a deregulating state of New York but yet has not  
7 really offered much choice yet, and then we're working right  
8 here close to home. And what I want to try to do through this  
9 presentation is talk a little bit about how the markets really  
10 work.

11           Now, I'm from Georgia, and just a few years ago we  
12 deregulated gas. And I'm not saying they got it right or  
13 wrong, but what was nice about that, no one really didn't have  
14 gas supplied to their homes or business, but there was some  
15 technical glitches. What I want to talk about is our model,  
16 how it uses renewable supply and how to work with utilities, so  
17 they can actually -- if they invest in renewable technology,  
18 they actually have an ability to get their money back with a  
19 rate of return.

20           And so what we do, we partner with utilities. And of  
21 course, these slides are available to look at later, but there  
22 is a large number of companies out there that would like to buy  
23 renewable energy, but they may not have a local utility that  
24 offers green energy. They may not have a desire to go out and  
25 put a PV system on their building. So 59 different companies

1 nationwide is signed up with something called the EPA Green  
2 Partnership Program where they're making large commitments.  
3 And one of the ways they can deliver that commitment is buying  
4 renewable certificates, especially like Kinko's and other  
5 places that may have a thousand locations across the country.  
6 The transactions costs are too expensive to do it one at a  
7 time. So they in a lot of ways go nationally and buy bulk.

8           And then second of all, the generators down here,  
9 many of them are good business people, but they do not have  
10 access to customers up here that want to buy. So what we do is  
11 use credible capabilities that we really want organizations  
12 like the Public Service Commission to understand and legislate  
13 ways so that we don't have fraud or any kind of other bad  
14 players in this market because it's a very intangible product  
15 we're selling. And I think Ashley did a great job of  
16 describing how other markets are trying to deal with these  
17 transactions.

18           Another thing is, our model is not just to market  
19 green energy, it's to develop green energy nationwide. And  
20 what happens is, when you work with an independent power  
21 developer, they are looking at ways to make their projects  
22 viable. Today's capital market, if a utility only offers  
23 avoided costs, these projects cannot make it. So they do not  
24 have market mechanisms unless they work under something called  
25 renewable certificates to get a second revenue source.

1           Now, our company is green-e certified. Some of you  
2 may have heard of this organization. They have done an  
3 incredible job of setting up rules, and I sure don't want to  
4 use the concept of accounting firms in today's world. But it's  
5 like an accounting firm coming in and reviewing your contracts  
6 and all the work you do and hope that that particular group has  
7 credibility. And so far, the Center for Resource Solution has  
8 what I call the de facto standard for renewable certificates  
9 but also for green power. And there's a little bit different  
10 definition. The term green tag renewable certificates you will  
11 see in the legislation. Up in Washington, they call it  
12 slightly different, but they're all the same thing. It's a  
13 concept of bundling attributes together and power together.

14           And what are these green certificates? What they are  
15 are actual ways that you can monetize an intangible product  
16 like green power. And the trading units call 1 megawatt of  
17 power. So the whole concept is when I -- I'm going to go  
18 through some pricing structures to let you understand that one  
19 trading block for solar may be vastly different than one  
20 trading block for, say, biomass or landfill gas. And I'm going  
21 to give you some real world examples of how this is working.

22           Just as Ashley said, what happens is, electricity is  
23 not really changing anything different. The laws of nature  
24 have not changed because this put is put in place. But what  
25 has happened is, if I don't live next to a nuclear plant, I



1 don't care how many marketers try to sell me green energy, I'm  
2 probably still going to get nuclear electrons. But what the  
3 concept is, if I make a commitment to that and moneys go to  
4 that on a bilateral or some type of contract to a generator  
5 that is not nuclear, over time the mix will become right. And  
6 that's how this really works.

7 I want to take kind of an oddball example, and I've  
8 heard this said before, but we're in a very early marketplace  
9 with renewable certificates. And none of us were around here,  
10 but probably back in -- if I had to gather, there was an Indian  
11 tribe here called the Seminoles a few years ago. And probably  
12 when they traded, they traded things like hides and pottery and  
13 whatever, and that was the way they had the economy work, but  
14 then all of a sudden something came along that I would call a  
15 certificate.

16 I don't know if you have ever seen this, but this is  
17 put out by the U.S. Government. And a lot of people work very  
18 hard for this every year. They don't work for beaver hides,  
19 they weren't for pottery, they worked for something that is  
20 nothing other than a piece of paper that probably costs less  
21 than a penny to print, but it is a certificate. A football  
22 coach in Atlanta about a year ago wanted to become the head  
23 football coach for Notre Dame. He worked his whole life  
24 working his way up, and he got selected as a football coach at  
25 Notre Dame, but he had a problem with their certificate. He

1 had articulated that he had a Master's degree but he didn't.  
2 So what happened, there was a great backlash because he did not  
3 have the certificate. He was not legitimate or he had  
4 mistrusted the public.

5           So what I believe all certificates have in common are  
6 a few things. They have to bring credibility. They have to be  
7 accepted by all. They have to have perceived value by all  
8 parties. Now, a dollar to me might be a lot less valuable than  
9 my five-year-old kid, but they do have perceived value on both  
10 ends. And also, they can be used with or without the normal  
11 formal paper. So you can actually go to your bank and transfer  
12 money without physically taking a piece of paper and walking it  
13 over to that company. So that's the common things you see with  
14 certificates. Many renewable certificates are never physically  
15 printed out; they're done transactionally. So I wanted to kind  
16 of give you examples. You probably could think of five or six  
17 other things. When I go into a doctor, I sure want to see he  
18 or she has a certificate that got him or her out of med school.  
19 So I want you to think through legitimacy.

20           Another thing certificates allow you to do is, if you  
21 have a biomass project, and I heard several good ones here, and  
22 the local utility is not offering a green option, that person  
23 is not shut out. It allows him to have a secondary market.  
24 And what -- also, this allows you to sell them without it being  
25 instantaneous like power. And I'm going to go through some of

1 the certification rules that allow us to make sure this is  
2 credible.

3           Also, several states, Texas, Massachusetts and  
4 Connecticut, are using certificates as what I call again the  
5 dollar bill, the currency for green energy. If you don't have  
6 the certificate, you don't get credit. There's a process to go  
7 through to do that. What that allows when you set up an RPS,  
8 like the government is looking at doing nationwide, you have to  
9 have some type of tracking mechanism so you know you were  
10 correct and you were not. And I think that's what the APX was  
11 talking about. They have a best practice up in New England,  
12 and if you go anywhere down the path of any kind of RPS, I  
13 highly recommend you look at how you actually get people to  
14 commit and track the stuff, and don't rely upon just the seller  
15 or the buyer to do it, have some independent group do it.

16           Also, what I think you'll find, there's a whole  
17 emerging market that's not quite obvious, especially in my  
18 city, but in Atlanta there's a lot of air pollution issues, and  
19 a secondary set of attributes is around emission control. And  
20 you'll start hearing greenhouse gases and all those things.  
21 What you'll find is, a lot of the renewable certificates here  
22 may have more value in other markets than the certificate  
23 market.

24           Just from a value standpoint, I want you to look at  
25 the value of these certificates. We have experience in working

1 with this nationwide. I've worked with our landfill gas  
2 friends over at EDI. They are experts in landfill gas, and  
3 they do a great job. But the market tends to value landfill  
4 gas less than solar, not that it's not a good technology. It's  
5 a market issue. So add the price of power plus their  
6 certificate and you start seeing some value. Now, I know this  
7 is not exactly what's happened, but I have -- our company has  
8 actually sold solar certificates around the country between \$20  
9 and \$80 a megawatt hour. Think about that. If you buy a  
10 certificate for \$80 a megawatt hour, that's 8 cents per  
11 kilowatt hour produced for something other than exactly what  
12 you're actually getting. So people are willing to pay real  
13 money for this. And as credibility is built, I think what  
14 you'll find is it will allow suppliers to bring the cost of  
15 some of this down without taxing people, without making people.  
16 This is all voluntary.

17           And this just shows you different price ranges around  
18 the country. The most important thing to keep in mind, laws of  
19 supply and demand. The groups that get the highest prices are  
20 very near the end of some settlement period where they're  
21 short. So what happens in a state where you set up an RPS, you  
22 will find the prices tend to be very low until very near the  
23 calculation phase. And also, a lot of states have set up what  
24 they call solar collars, where they say, we're going to have an  
25 RPS and a certain percentage is going to be solar, and that

1 immediately adds value to that because in fact it's an RPS  
2 within an RPS.

3 COMMISSIONER BRADLEY: Would you go back to that?

4 MR. JONES: Sure. This one?

5 COMMISSIONER BRADLEY: No.

6 MR. JONES: That one?

7 COMMISSIONER BRADLEY: That one. Okay. I'm trying  
8 to understand what this really represents because it says  
9 solar, 80-megawatt hours; wind, 15-megawatt hours; small hydro,  
10 4-megawatt hours; geothermal, 4-megawatt hours; and biomass,  
11 6-megawatt hours.

12 MR. JONES: Those are ranges. Those are ranges. If  
13 you translate them to cents per kilowatt hour, the top 2 would  
14 be 2 cents to 8 cents per kilowatt hour plus the cost of power.  
15 You can see our biomass which also includes landfill gas would  
16 be .2 cents to .6 cents. But let me tell you, when you have a  
17 lot of power produced that adds up to real money. So that's  
18 just kind of a national average. It does matter the closer you  
19 are to a location, the more value, and supply and demand laws  
20 work.

21 I also believe it's very important for us to build  
22 credibility. We are working with the City of Tallahassee and  
23 other utilities, and we believe if you don't have a third party  
24 that does some type of verification or certification that has  
25 the same rules for all parties, not a special rule for me or

1 special rule for somebody here, it builds credibility. And  
2 there's a national program called Green-e Certification. Last  
3 month, I think one of the people spoke from there. What that  
4 does is have a third party say, here's the rules. If you  
5 follow the rules, you become certified. You don't follow the  
6 rules, you can have your certification removed.

7           One of the worst things to happen is to say you're  
8 certified and have it pulled. So there's a lot of incentives  
9 for people once they join to stay involved. And what happens,  
10 they have different programs for what they call electricity  
11 products and tag products. Very similar but there are  
12 differences.

13           CHAIRMAN JABER: Well, with respect to Florida, how  
14 productive -- I guess efficient is the better word. How  
15 efficient can a Florida market using certificates really be  
16 when we are limited perhaps in the renewable choices we have?

17           MR. JONES: Well, I will disagree that you're  
18 limited. The way the green-e rules are being set up, and Jim  
19 Presswood that runs some of these programs, they have set up a  
20 fairly flexible set of rules. The rules, you disclose  
21 everything to your customer. You have to disclose where you're  
22 buying it and what type. On power, the definition is right  
23 here. The definition on green power is if the power is  
24 produced within the power pool, and their certificate is sold  
25 within the power pool, it's called green electricity or green

1 power. And I honestly believe it's no different than the way  
2 our large investor-owned utilities or whatever, the way they  
3 move power.

4           But if you decide to do the power locally and the  
5 tags from another -- I'll call another power pool, then it  
6 becomes what I call a transaction that may not pass  
7 certification. In Florida what the -- the Florida Stakeholder  
8 Group has agreed that if the power is generated in what we call  
9 the SERC or the Southeast and the tags are sold within the  
10 Southeast, it's a legitimate product. It's still a legitimate  
11 product if you buy it from Oregon, it's the environmental  
12 groups would not support it as well. It's still a legitimate  
13 product.

14           Now, if the federal legislation passes, they're going  
15 to make the nation, just like my dollar bill, good everywhere.  
16 And I think that's good, honestly. I think it creates a  
17 situation that you will have companies like JEA that may decide  
18 to be renewable suppliers, gross suppliers. In certain ways,  
19 they may get a lot more money by being a supplier than a buyer.  
20 But the rules have been well thought through on that.

21           I'm about through, but also, it's very important, is  
22 never tell your public that you're offering A and delivering B.  
23 And so there's ethical guidelines and disclosures that if you  
24 become green-e certified -- and I recommend to all our  
25 companies that you ought to try to become green-e certified.

1 If you aren't green-e certified, you ought to do what they say  
2 you should do because it's good business practices. And what  
3 that does, it's just like Attorney General kind of rules.  
4 Don't offer something unless you really have it. Don't double  
5 sell it. And what I have is leaving this presentation. They  
6 have a label that's on our Web site and any other green-e  
7 certified Web site that's very similar to a cereal box. Don't  
8 know much about cereal, but I can look on there and see this  
9 cereal has so many grams of fat and this one. And it's a way  
10 to compare. And so we believe, especially up in the New  
11 England area, they have strong disclosure rules. And I think  
12 that's very valid. I think if you implement something, you set  
13 rules for everybody. Green-e rules seem to have already been  
14 set, and they have been well thought through.

15           Also, certificates are different. And one other  
16 thing, they don't have to follow power paths. So, for example,  
17 one of the reasons you keep price low is, just in a peaking  
18 period, you don't have this crunch for certificates. The  
19 green-e certification, if you sell something in 2002, the  
20 previous six-month certificate is valid and the next four to  
21 three months is valid. Now, it doesn't mean those certificates  
22 aren't valid otherwise, but people believe the value drops  
23 greatly. So if you're going to sell a product, it needs to be  
24 near the time it was generated.

25           And then finally, the final checklist. I only saw it



1 one time. Mortal sin if you do something different than that.  
2 It's a good way to account -- if you're going to get into --  
3 start monitoring RPS and stuff, it is a very difficult thing to  
4 account unless you have some set of rules like this.

5           And then finally, I believe and I'm not -- I work  
6 very closely with a lot of different firms. I believe the  
7 concept of what they're doing at NEPOOL and in Texas, if  
8 Florida decides to do this, you ought to also adopt some type  
9 of tracking system because otherwise you will have people  
10 wanting to try to say, I did this. And it's very hard to do it  
11 unless it's automated and in some ways tracked so multiple  
12 people can see it, not just the buyers and sellers.

13           I wanted to also point out, I was very pleased that  
14 we're working closer with a couple of utilities in the state.  
15 And Gary showed kind of an organization between an  
16 environmental group, and we have a lot of work we've been doing  
17 with Deb Swim. And we're working with the City of Tallahassee,  
18 and we feel we're an integral part of this cog or this machine.  
19 But the basis of making something like this work, we believe,  
20 is well-designed public policy. I'm not going to put policy  
21 out there that's been failed, but for a while California policy  
22 became jokes on the Jay Leno show. That's not what we're  
23 trying to do. We're trying to do sound public policy that's  
24 been implemented across the country. And by talking to people,  
25 I think you can find sound public policy.

1           And with that, I wanted to summarize with a couple of  
2 points that I have seen. We have been doing this for a while,  
3 but since I was 21 years old, I've been in the energy business,  
4 and I really believe what you'll find, renewable certificates  
5 even in Texas where they're building wind plants and delivering  
6 in that power pool, it becomes the currency, just like the  
7 concept that we move forward to a currency. You want something  
8 that everybody respects and trusts. Also, I believe you need a  
9 verification process sometime that everybody in the room agrees  
10 with. And you are the only group in this state that can set  
11 those rules and be legitimate about it.

12           Also, we have seen throughout the country RPS and  
13 system benefit programs have been successful public policy  
14 programs. A lot of them are different, but there's a lot of  
15 people that have seen the good and bad in each of those  
16 programs. We also believe renewable certificates are a great  
17 accounting mechanism that's been implemented in three or four  
18 states. And I think if you call those people, you can learn a  
19 lot about how it should be implemented. Certificates for green  
20 power does not work unless you have a willing seller and a  
21 willing buyer. If the willing seller can't make a profit or do  
22 well, you won't have supply. But you can't offer something so  
23 expensive that a willing buyer won't have. And a lot of times  
24 I have seen -- if you think about electricity, I've seen a lot  
25 of programs that have been undersubscribed and people wonder

1 why. If you're going to charge someone 30, 40, 50, 60,  
2 100 percent more for renewable energy, you're not going to get  
3 a lot of people excited about that commitment. It has to be  
4 competitively priced.

5           And then finally, we believe certificates are an  
6 excellent backstop, that whenever a utility -- because  
7 sometimes it takes a year or longer to build some of these  
8 plants to use them and make them credible, that they can  
9 fulfill their mandates and want to be supported by doing a  
10 simple transaction but that also rewards utilities that made  
11 the investment up front. They can get paid by other people.  
12 And finally, we believe certificates are endorsed by  
13 environmental groups, the U.S. government agency, EPA, the DOE,  
14 and if those people who believe in what we're doing support it,  
15 we as lay people and people in public policy ought to try to  
16 understand, is this something we ought to try to do. With  
17 that, I want to thank you for your time.

18           CHAIRMAN JABER: Thank you, Mr. Jones.

19           Commissioners, do you have any questions? Mr. Jones,  
20 I think I would give you a seven, and tell you with a little  
21 bit of practice, you may get a ten next time.

22           MR. JONES: You're the Paula Abdul of the group over  
23 there.

24           CHAIRMAN JABER: Herbert Williams with Florida Hydro.

25           MR. WILLIAMS: Thank you, ladies and gentlemen. We

1 will try to make our presentation brief. We know the hour is  
2 late. My name Herbert Williams with Florida Hydro Power &  
3 Light. We're the newcomers on the stage. We have a company  
4 called Florida Hydro that was incorporated three years ago.  
5 The purpose of our company is to explore the Gulf Stream  
6 energies as a hydro project for the state of Florida.

7           A few of the facts that we'll cover today are --  
8 we'll speak briefly on what's out there in the world of hydro.  
9 We'll tell you where we're at. We'll talk about the cost of  
10 our project, and then we'll have some conclusions. Ocean hydro  
11 is broken down into about three classes. Basically you have  
12 thermal, you have wave energies, and you have currents. The  
13 currents involve, of course, tidal and ocean currents and the  
14 actual movement of water through some sort of a propeller and  
15 some sort of a blade. Our technology we'll be covering today  
16 is ocean currents. We're going to concentrate on the Gulf  
17 Stream because this is where our project focuses.

18           This is a map from NASA. It shows in red the thermal  
19 differences of the water off the coast of Florida, and it's a  
20 very good indicator of exactly where the Gulf Stream is and  
21 what it looks like. As you can see right here in Palm Beach to  
22 Miami, the Gulf Stream is very close into shore, approximately  
23 three to six miles. It has a current that's very continuous.  
24 We have an energy that doesn't fail. It's been here forever  
25 and ever, and we expect it to continue to be forever and ever.

1 It's very dependable.

2           We got all our information on the Gulf Stream from  
3 NOAA, a national weather service in Miami. And the way they  
4 explained the Gulf Stream to us -- and they have some new  
5 Doppler sensors that they have placed from Palm Beach across to  
6 the Bahamas, and these sensors indicate we have a current  
7 similar to a big river. It's one-third of a mile deep and it's  
8 45 miles wide. You can see how wide the current is compared to  
9 the state of Florida. It has enough inherent energy to replace  
10 every power plant in the United States, and maybe Canada and  
11 Mexico. But we're faced with a situation. If we could use the  
12 energy from the Gulf Stream in Florida, we still have the  
13 bottleneck to transmit it out of the state of Florida.

14           We have the Southern Company lines that come -- the  
15 big 500,000-volt lines that come in from the north that  
16 actually end in Palm Beach. The ideal place in the state of  
17 Florida to produce massive electric is Palm Beach County,  
18 Miami, because now you're putting power back into the 500  
19 k-volt lines that are predominately coming south. So as you  
20 put power back into a power line, utility people, you know this  
21 is a very good thing. So if a plant could be put in the Palm  
22 Beach County, Dade County area, all of the power it produced as  
23 it worked its way back into the big line it would just  
24 supplement power that's coming in north out of Southern's line  
25 out of Georgia.

1 Florida right now, as you know, has about a 40, 45  
2 gigawatt need, and we expect that to grow about 2 percent every  
3 year. We have reason to believe that the technology we're  
4 going to show you now can -- if it were started next year, we  
5 believe in five years we could produce enough energy for Dade  
6 and Palm Beach Counties. We believe in ten years we could take  
7 the energy from Tampa south, and we believe in 15 years we  
8 could replace all the power plants in the state of Florida with  
9 totally green, totally renewable energy.

10 The systems that we use are floated off the bottom.  
11 They're 150 feet below the surface. They are out of sight, out  
12 of sound. You never know they're there. They have buried  
13 cables coming to the hill that connects to the grid. The depth  
14 of the Gulf Stream is an ideal depth where we plan to put our  
15 first one. The water starts at 3 miles outward, about 80  
16 fathoms. At 12 miles out, we're about 180 fathoms, and that's  
17 the plateau we plan to use, and that's the plateau we're  
18 currently under permitting with DEP to put 15,000 turbines in  
19 starting around Christmas of this year with our first one.

20 CHAIRMAN JABER: You said 1,500, didn't you?

21 MR. WILLIAMS: 15,000.

22 CHAIRMAN JABER: Oh, 15,000.

23 MR. WILLIAMS: We expect our turbines to be -- from  
24 the indication we're getting now, our prototypes are indicating  
25 to us that our turbines will run from 2- to 5-megawatt

1 turbines, which would mean a 2-megawatt turbine, the 15,000  
2 would do Florida.

3 This is our technology. This is a small turbine. It  
4 was our second prototype that we built and tested. This  
5 picture was taken here at Mayport when we took this turbine to  
6 Palm Beach County and demonstrated it June 25th of last year.  
7 It produced approximately 100 kW. Now, bear in mind, this is  
8 a baby turbine. This is 1/152 scale to what the bigger  
9 turbines would be, but it still was quite a producer.

10 A lot of feasibility studies have been done on the  
11 Gulf Stream current. There's no secret, the energy has always  
12 been there. The problem has always been, how do you get it and  
13 get it back to the bank? One of the challenges that we took on  
14 six or seven years ago was to study every feasibility study we  
15 could find and see what's the problem. We've got this  
16 tremendous energy source that's perfectly green, but why can't  
17 we use it? And basically here's the problem. The Gulf Stream  
18 is a slow current. It's like a big river. To get a reasonable  
19 amount of energy from a propeller blade, you have to have a  
20 very big blade.

21 Now, if I were to take a very small propeller blade  
22 and put it in four and a half knots of current, it would turn  
23 fairly fast, maybe a couple hundred RPM, but as this blade gets  
24 bigger, the tips of the blade continue to turn the same speed  
25 because the water is still four and a half knots. But what

1 happens, the shaft of this turbine turns slower and slower and  
2 slower. If you design a turbine, say, for a megawatt, you're  
3 in the range of a 25-foot blade which has a shaft that turns  
4 maybe 300 or 400 RPM. As your megawattage (phonetic) gets  
5 higher and the demand, your blades get bigger in diameter, your  
6 shafts get much larger.

7           We're told the shafts are now turning slower and  
8 slower to handle the torque to take this very slow movement of  
9 energy to a 3,600 RPM so we have electricity. And that I felt  
10 was the problem with all of the feasibility studies I could  
11 find. They were taking existing technology, Kaplan, Frances,  
12 Imping turbine runners, and trying to adapt them to the Gulf  
13 Stream current. And they were ending up when they would come  
14 up with a power plant that would be just a 50 megawatt, they  
15 would end up with a shaft that was four or five feet around and  
16 a gearbox as big as this room. And now, they had to anchor  
17 this in the Gulf Stream in deep water, and it just wasn't  
18 practical.

19           So that's been our quest, how to find a technology  
20 that can deal with this current. We came up with what we think  
21 is maybe not the answer for the future. This may not be the  
22 turbine we'll see 20 years from now, but it's the turbine that  
23 has opened the door to the Gulf Stream. And the reason for  
24 that is, we're getting our energy off of the tip of a  
25 propeller. As you can see, there's a hole in the middle. You



1 see the workers standing on the other side. This technology  
2 allows us to get a blade bigger and bigger and bigger, and all  
3 we're doing is making a hole bigger and bigger and bigger in  
4 the center. So the actual little blades right here that's  
5 doing the work stay the same size. So you don't have the  
6 problem of moment that the engineers have, you don't have the  
7 problem of torque because the blade tips, regardless of the  
8 size of the turbine, will all turn the same speed in four and a  
9 half knots. So, in essence, by making the hole bigger, you can  
10 get more power. So you don't have the bottleneck that we're  
11 limited to a 100 kW propeller shaft or 1 megawatt or 2  
12 megawatt.

13 We're of the firm opinion that these turbines can  
14 easily go from 2- to 5-, 10-megawatt units and conceivably be  
15 100-megawatt units, 500-megawatt units because you have the  
16 water depth necessary, you have the energy flow necessary, and  
17 you don't have the engineering problems you have with the  
18 existing technologies that have to deal with shafts.

19 So I think the key to the problem Florida has talked  
20 about here all day is the Gulf Stream. We've had it forever.  
21 We just haven't come up with a way until now that we can make  
22 energy from the Gulf Stream, bury a cable to the shore and have  
23 a perfectly green renewable source of energy that's there  
24 forever.

25 Our blades because of the hole in the center came up

1 with some unexpected pluses. Every turbine blade we could get  
2 information on from TBA, every Frances turbine, every Kaplan  
3 turbine, every runner we could find, including the turbine in  
4 Iguassú Falls in Brazil, was getting a blade potential of about  
5 .25 kilowatt per cubic foot. And we're showing .3.

6 We had put challenges to a number of manufacturers to  
7 challenge our statistics. And we believe the hole in the  
8 center has added something we didn't expect. It appears that  
9 on a conventional propeller of any type when the wind or the  
10 gas or the water or whatever goes through this propeller, you  
11 have this area at the center that's doing no work at all. It's  
12 actually filled with a shaft and a hub, and it's actually  
13 hurting you. It's actually doing damage because you have  
14 turbulence, you have effects behind the propeller that's taking  
15 away the energy from the tips which is the only place on a  
16 propeller that has any energy.

17 What we think is happening is, when the water flows  
18 through the middle of the turbine -- let's just say it's going  
19 through the middle at four and a half knots. The water going  
20 through the blades has to be slowed, or we haven't taken energy  
21 from the blade. Well, when this water is slowed let's just say  
22 to two knots, when it goes through the blade at two knots and  
23 the right side of it is this large open hole at four and a half  
24 knots, this water is converging, and the four and a half knots  
25 is helping to pull this two and a half back to the four and a

1 half where it came from. So this blade is not just getting  
2 energy as water hits it like a conventional turbine. It's  
3 getting energy as the water passes it which is pulling it  
4 downstream. Every study we can find has shown that we're 20,  
5 20, 20, 22 percent more powerful than any turbine we can find.

6 Scalability is very important, and we mentioned that  
7 earlier. We don't know where the limit is on the size of the  
8 turbines. Futuristically, we could see one turbine that would  
9 replace a 600-meg coal-fired plant. I don't know. They can  
10 get very big, we believe.

11 COMMISSIONER PALECKI: When you have a regular  
12 turbine with a shaft, you have a tremendous amount of friction  
13 at the shaft. On your design, wouldn't you have a problem  
14 dealing with the friction at the tip? I mean, you have this  
15 outside area that's moving at a great amount of speed and  
16 power. How do you deal with the friction?

17 MR. WILLIAMS: On this particular turbine, to get  
18 into more how the turbine works, around the perimeter of this  
19 turbine is a series of hydraulic pumps. This turbine is  
20 designed something like an automatic transmission. As this big  
21 blade turns, it turns this series of hydraulic pumps, and they  
22 also hold the turbine on location. And they eliminate a lot of  
23 that friction.

24 COMMISSIONER PALECKI: So it's turning in water  
25 rather than bearings or other --

1           MR. WILLIAMS: That's right. There are no bearings  
2 on the unit. That's one thing we'll get to later on this  
3 turbine. The service of this turbine happens once a year.  
4 Once a year, you go out; you pull it up. You replace every  
5 moving part. You put it back down, and it's unmanned for  
6 another year. That's part of what we'll cover a little later.

7           But every propeller you can imagine that you've ever  
8 known in life had a shaft. I doubt there's a person here  
9 that's ever known of a propeller that didn't have a shaft.  
10 That's quite obvious because we have -- we're working on our  
11 eighth patent on this concept. We're getting everything we're  
12 asking for on this open center concept of being able to get a  
13 double whammy on the energy through the blade and the fact that  
14 we're getting energy on the periphery of the blade.

15           What that does, it simplifies a process of taking  
16 energy directly to a high RPM, because with a hydraulic system,  
17 you can have a very low input and infinite speeds on the other  
18 end because its nature is a hydraulic system. So we can put  
19 these hydraulic pumps around the outside, and this is where all  
20 the speed is happening, and that's where the power is really  
21 at. And we can go directly to a 3,600 RPM generator with no  
22 gearbox. We don't have that gearbox as big as this room. We  
23 have a very light -- as you can see this rim, we just -- it's a  
24 very light turbine. So we started with a shaft-driven turbine,  
25 and it was a very complicated machine. The more we get into

1 the open center, the less complicated it gets.

2           Now, I don't know what I've done to get that up.  
3 Here's basically where we're at. About six years ago, we built  
4 a nine-foot diameter turbine blade, and we simulated the flow  
5 of the Gulf Stream. We towed it beneath the barge in the  
6 St. John's River, numerous trials, and that turbine in 9 feet  
7 produced about 17 horsepower. Two years ago, we built a  
8 10-foot blade, which is this blade you see, and these are  
9 various photographs of the 10-foot blade. And through the  
10 lessons learned by the 9-foot blade at 17 horse, this turbine  
11 has produced almost 100 horsepower.

12           We're now in the process of building a turbine that  
13 we expect to put in the Gulf Stream at Riviera Beach. We hope  
14 by Christmas to have it on-line and lighting up some lights  
15 that we anticipate will be around 150 megawatts -- I mean,  
16 150 kilowatts, I'm sorry. We're using one of the blades that  
17 was built for this turbine that we didn't use, and we're  
18 putting it in an actual commercial machine. And this will be  
19 the first machine that will actually be anchored. It will be  
20 ballasted. It will be tied into the grid, and it will actually  
21 produce commercial electricity into the grid at Riviera Beach.

22           Now, we're -- we think we're about halfway done on  
23 permitting. We have got our finances together. We expect this  
24 venture to come along, and by Christmas we can all see the real  
25 world of what we can and can't do.

1           Here's why the turbine is cost-effective. All of the  
2 other technologies that we can find that involves ocean hydro  
3 has large concrete pilings, or it has a dam, or it has pump  
4 station storage. It has something very expensive to build.  
5 And these turbines just simply are anchored to an anchor. They  
6 are unmanned. They have no personnel that sits here with it  
7 everyday. It runs totally unseen on its own a hundred feet  
8 below the surface way out in the ocean.

9           They are conducive to mass production. They can  
10 readily be made on a large scale very quickly. And here's the  
11 key, the ability to achieve large scale deployment. The design  
12 doesn't really change on this turbine if you were to elect to  
13 go from a 20-megawatt machine to a 25-megawatt machine. So all  
14 the parts and the components -- for example, the hydraulic  
15 pumps, you just buy more of them. The blades, you just build  
16 more of them. And so the components don't really change. So  
17 when we gear up to build, like we've already built the two, I  
18 can take the same form, and I can take the same blades, and I  
19 can just keep making bigger and bigger turbines. So that makes  
20 it very inexpensive to do.

21           We have zero fuel costs. We have an extremely  
22 constant energy source, no sun, wind, no any of that to deal  
23 with. We know exactly 20 years from now what we have in the  
24 Gulf Stream to deal with. We have a targeted design. We don't  
25 have to build a turbine that can run a gauntlet of RPMs, a

1 gauntlet of different horsepower ratios. It doesn't start and  
2 stop and all of the things you have to be able to deal with in  
3 regular turbines. So it's a fairly simple design on the  
4 turbine unit.

5           We believe -- and I know everyone here is going to  
6 say, yeah, sure. We believe that we can produce electricity on  
7 the very first turbine we put in the Gulf Stream for about  
8 three cents a kilowatt. We believe in just a couple, three  
9 years we can reach a penny a kilowatt for perfectly green  
10 renewable power, almost unlimited amount. Now, time will tell  
11 that. But if you were to take away the cost of building a  
12 power plant, take away the cost of the personnel to man the  
13 power plant, and take away all their fuel costs -- what did the  
14 fellow earlier say, 90 percent fuel costs on natural gas -- if  
15 you take away all of these costs, why won't you be around a  
16 penny? We're showing a penny. And we've had numerous  
17 engineers to look at the project, and they agree with our  
18 findings.

19           This is not rocket science here. The only technology  
20 involved is the way we're building the blade, but we're just a  
21 large propeller in the water that sets here day and night. It  
22 turns with no fuel. And we're projecting an O&M cost of  
23 2 percent of our production, lower than any O&M cost ever.

24           COMMISSIONER PALECKI: What do you expect the life of  
25 the units to be, given the corrosive effects of saltwater?

1           MR. WILLIAMS: The unit is about 95 percent  
2 fiberglass and composites. The Kevlar fiberglass and other  
3 composites compose around 90 percent of the unit. We expect it  
4 to just last with maintenance indefinitely. We costed them out  
5 at 30 years to come up with our prices, but every year the plan  
6 is to take a large service vessel out, to pull up ten of these  
7 turbines, or however many. You unplug the turbine unit, put on  
8 a rebuilt unit, put it back in the water, test it, and let it  
9 go for another year. Then you bring the -- every moving part  
10 of the unit comes back to land, and on land, it gets worked on.  
11 It gets rebuilt and reserviced, and it goes in the stack of  
12 turbines to go back out. So we don't see them as a machine  
13 we're going to use 10 or 15 years and it will wear out. It's a  
14 machine every year we build and every year we keep replacing  
15 hydraulic components, which is the only moving components on  
16 the machine other than the generator.

17           In conclusion, we recognize we're still in early R&D.  
18 All ocean power appears to be. The Gulf Stream is a source of  
19 energy that we have overlooked. It's unfortunate we have  
20 overlooked the Gulf Stream. It's unfortunate that 75 years ago  
21 when Florida Power & Light or whoever fired up that  
22 first diesel machine, it's unfortunate they didn't just put a  
23 paddle wheel in the Gulf Stream. Hindsight is great.  
24 Hindsight is great. We see that now, but that didn't happen.  
25 But 75 years ago fuel was given away and pollution was not



1 something to deal with. The environment was not so high on the  
2 agenda. It's unfortunate we don't have 75 years behind us in  
3 working with the Gulf Stream energy, but we don't.

4           The information that we have on the Gulf Stream  
5 equivalates (phonetic) it to 30,000 Mississippi Rivers. You  
6 can take a river the size of the Mississippi and you can  
7 understand the hydro power of that river. And we're talking  
8 30,000 Mississippi Rivers in size. DEP loves this project.  
9 Three times we've met with DEP, and they love this project.  
10 The Corps of Engineers has approved this project in every way  
11 we can imagine. I can't imagine the Sierra Club or anybody not  
12 loving this project. I mean, I don't understand what's not  
13 loveable about this project.

14           COMMISSIONER PALECKI: What about the effect on fish?

15           MR. WILLIAMS: The blade -- because of the four and a  
16 half knots, it's a fairly slow-moving blade, and the hole is  
17 much bigger than it looks in this little one. In a typical  
18 100-foot diameter blade, the hole would be 80 feet. So a  
19 submarine can go right through the middle of this machine.  
20 It's hard to imagine that we have a fish impact. When we  
21 presented this problem to National Marine Fisheries and they  
22 looked at the turbine design and they looked at the area off  
23 Palm Beach, their take on it was, let's just wait and see. You  
24 know, let's don't open something that's not necessary. If the  
25 problem occurs, we'll deal with it at that time, but right now

1 just kind of pass us by. That was the National Marine  
2 Fisheries' position on it.

3 The Corps of Engineers' position is, we have a  
4 submarine zone in this area, and contrary to what you might  
5 think, the submarine is almost from the surface to 150-feet  
6 deep. Submarines run around on the surface, not down where the  
7 turbines go. So by going 150 feet, we're below where the  
8 submarines are allowed to go.

9 CHAIRMAN JABER: Mr. Williams, let me interrupt you  
10 here and ask if there are Commissioners that have other  
11 questions.

12 COMMISSIONER DEASON: One quick question. Three  
13 cents per kilowatt hour which you quoted, does that include  
14 transmission costs or transmission costs in addition to that?

15 MR. WILLIAMS: That's what we call an all-in cost.  
16 That's the cost of the cable buried to the grid and the  
17 transformers at the grid to go on-line.

18 And that's the end of my presentation.

19 CHAIRMAN JABER: Thank you, sir.

20 MR. WILLIAMS: Thank you.

21 COMMISSIONER PALECKI: Thank you.

22 CHAIRMAN JABER: Okay. Our next speaker -- I hope I  
23 pronounce this right -- Richard Breitmoser, U.S. BioPower.

24 MR. BREITMOSER: Good afternoon. I've got about  
25 60 slides to go through, so I'll be very quick. Boy, we're

1 awake out there, aren't we? No, we're going to do this very  
2 briefly. There's a few slides that I have, and I'll skip  
3 several of those. First off, my name is Richard Breitmoser  
4 representing U.S. BioPower located here in Jacksonville. I  
5 wanted to thank the Public Service Commission for the  
6 opportunity to introduce this project, and also, I wanted to  
7 commend you on establishing the renewable technology workshop  
8 concept. I think it's a great way for you to receive  
9 information and the general public. And I was quite pleased to  
10 hear that you were setting up a workshop here in Jacksonville  
11 which is where I'm located.

12 I'm not going to go through this. You can read this  
13 in your material. I do want to say that U.S. BioPower does  
14 intend to be the first coast provider of green power, if not  
15 the largest first coast provider of green power. And general  
16 statements on the environmental and community aspects of the  
17 project. Earlier today, we heard comments from Florida  
18 Crystals, and up until then, we heard information that was very  
19 technology-oriented. And I was glad to hear Florida Crystals  
20 talking about the community aspects of these projects and  
21 biomass project. And certainly this one that we are proposing  
22 is very much a community-oriented project. And we'll talk  
23 about that in just a few minutes. So there's a human element  
24 to this, too, as opposed to just a technology element.

25 Let's talk about the project scope. What we're doing

1 is taking the old Jefferson Smurfit paper mill and the power  
2 boiler and turbine generator in that facility and are  
3 converting that to a renewable energy facility. I have an  
4 aerial that you can look at at your leasure after the meeting.  
5 That is an old technology. That's an easel over there for --  
6 if don't remember what that was.

7           What we're going to do is convert wood waste biomass  
8 to electrical power using existing and new equipment that we'll  
9 have to add there. This is on-site. We have a wood-fired  
10 stoker boiler, and we're going to co-fire that, which is what  
11 we'll have to do for this particular boiler with fossil fuels.  
12 And right now, we're looking at coal to use for that, maybe  
13 25 percent coal and the balance being a biomass. As opposed to  
14 some projects, this biomass will be not commingled with the  
15 coal. It will not be pulverized with the coal. This boiler as  
16 a paper mill boiler was designed to burn bark before. In this  
17 case, we'll burn biomass, but it will be supplementally fired  
18 with fossil fuels in order to stabilize the burning of the  
19 biomass.

20           We will have to refurbish the turbine generator. If  
21 you're familiar with paper mills, they use an extraction type  
22 steam process. A lot of the steam goes into the paper mill  
23 making process. We will have to redirect the steam path within  
24 the turbine. It's not set up as a condensing turbine. We'll  
25 have to change the steam path to do that. We'll have to put a

1 condenser in there to replace the very small condenser that is  
2 there now. We'll have cooling towers to condense that steam,  
3 and there is pollution control equipment already at the mill  
4 that we will use.

5           What we want to do is produce green power for sale  
6 using the existing biomass facility, and we expect to get a net  
7 power generation of 40 megawatts. It's a 45-megawatt turbine  
8 generator. About 10 to 15 megawatts will be produced by coal,  
9 the balance will be biomass.

10           This is a line diagram of the flow process at the  
11 plant. You can look at that at your leisure. And also, we  
12 could meet with your staff if you'd like to go into that in  
13 more detail, but it's pretty conventional. The only thing it  
14 doesn't show on there clearly is that we will be firing with a  
15 stability fossil fuel on there and probably coal is what we're  
16 looking at right now.

17           Some project benefits. Certainly we want to assist  
18 companies to achieve their corporate green power objectives.  
19 We will be consuming well over 200,000 tons of biomass,  
20 probably closer to 400,000 tons. The plant is -- this is the  
21 community aspects of the plant. It's located in an  
22 enterprise/empowerment zone here in Jacksonville. That's a  
23 depressed economic area. We're going to help revitalize that  
24 area. We'll create 30-plus high-paying jobs. And things that  
25 we've thought of on a qualitative basis, the Florida Crystals

1 folks talked about quantitatively, the quantitative economics  
2 of it. Not only will you have the direct paying jobs for this  
3 facility, you're going to have literally hundreds of other jobs  
4 within this region collecting wood and bringing into the  
5 facility. So there's a lot of direct and indirect aspects of  
6 this project that one should consider.

7           And we're looking at providing minority employment.  
8 We anticipate 50 percent of the jobs be filled by minority  
9 workers. If you didn't catch the earlier slide, this is a  
10 minority firm. And we also want to configure our cooling water  
11 system so that we can utilize the JEA's Buckman wastewater  
12 treatment plant reclaimed water when that becomes available.  
13 That's a 50 million gallon a day facility, and they do have a  
14 program in place to reuse that water, and we can certainly use  
15 that in condensing steam at our plant, perhaps up to 2 million  
16 gallons a day. That's it in a nutshell.

17           Any questions?

18           CHAIRMAN JABER: Commissioners, do you have any  
19 questions for Mr. Breitmoser?

20           COMMISSIONER PALECKI: Just one quick question.

21           MR. BREITMOSER: Sure.

22           COMMISSIONER PALECKI: I'm familiar with the Florida  
23 Crystals' Okeelanta plant, and they have recently converted  
24 their plant to co-fire with natural gas. Have you considered  
25 using natural gas as a fossil fuel to co-fire your --

1 MR. BREITMOSER: Yes. Yes, we have, and we can do  
2 that.

3 COMMISSIONER PALECKI: Thank you.

4 CHAIRMAN JABER: Thank you, sir. Our next presenter  
5 is Mark van Soestbergen.

6 MR. van SOESTBERGEN: I noticed there's a different  
7 audience than there was in Tallahassee. Is everybody  
8 different?

9 CHAIRMAN JABER: Well, we're here, if that's what you  
10 mean.

11 MR. van SOESTBERGEN: Well, yeah. Yeah, I don't --  
12 well, thank you, of course, for coming all the way over here.  
13 Last time I talked a little bit about the type of software we  
14 make. We're basically an IT group located in Gainesville, and  
15 we make software to inventory greenhouse gasses. But today,  
16 I'm going to talk a little bit about the types of things that I  
17 found out by talking to various clients that are actually  
18 interested in renewable energy and some of the hurdles that  
19 they have encountered, you know, in trying to implement  
20 renewable energy projects to sort of illustrate what are some  
21 of the barriers that are in place currently.

22 And so I came up with this title, "Opening State  
23 Electrical Contracts To RE Activities." There's many types of  
24 contracts that the states either directly or indirectly through  
25 other agencies engage in. There are many types of contracts.

1 Some are rate-based and other ones, you know, will be cheaper,  
2 for example, at night or are more expensive during peak times  
3 and that sort of thing. And we find that there's contracts,  
4 for example, you know, for schools and there's also for  
5 transportation matters and for operation of bridges, for  
6 example, and government buildings. And there's actually  
7 thousands of different types of contracts that really are on  
8 behalf of the state, and they're with most utilities because  
9 they're spread out all over the state.

10 So already the state of Florida is engaging in paying  
11 electrical providers in various ways for electrical services.  
12 And what they all have in common of course is that, you know,  
13 in the end it's the taxpayers that pay for it. And so there's  
14 an opportunity there to leverage, you know, some of that client  
15 and supplier relationship for the benefit of renewable energy.  
16 An example I'm going to give, it seems to be not quite working  
17 out with the projection, but it's going to be about  
18 universities because I'm a little bit familiar with that.

19 So there's 11 state universities, there's 28  
20 community colleges, and there's 27 independent colleges and  
21 universities, for a total of 66. This would have been nice if  
22 it was bigger. Is that the projection or is that --

23 CHAIRMAN JABER: We can see fine.

24 MR. van SOESTBERGEN: Yeah. Well, basically I'm  
25 giving an example of just three. The University of Miami is on



1 the left. They spend about \$6 million a year on just kilowatt  
2 hours, the University of Central Florida about \$9 million a  
3 year, and the University of Florida about \$20 million a year.  
4 And each university seems to do it in a different way. Some of  
5 them -- the people that actually manage energy are being paid a  
6 salary, and they just handle the energy as one of the  
7 components. Of course, they buy purchased power and various  
8 other types of energy as well. In some cases, like in the UF  
9 case, the physical plants will actually purchase the energy,  
10 mark it up a percentage to cover their own costs, and then send  
11 the invoice to Tallahassee. Tallahassee in turn writes a  
12 check.

13           So -- and if you compare the annual budget versus how  
14 much they spend on electricity, for the University of Miami,  
15 it's \$470 million per year is the annual operating budget. I  
16 know 6 million is their electrical, so about 1.3 percent. For  
17 UCF, you know, 1.6 percent, and for UF about 1.4 percent. So  
18 typically, you know, the electrical components end up being,  
19 you know, less than 2 percent of their annual operating budget.  
20 So if you were to, for example, increase it by, say,  
21 20 percent, then in the University of Miami's case, it's a  
22 public university -- oh, sorry, it's private, it's not public,  
23 but, for example, for them it would go up from 1.3 percent, it  
24 would go up to 1.56 percent, you know, if you were to increase  
25 their electrical costs by 20 percent of their total budget.

1           So speaking with the physical plant directors, the  
2 people that actually, you know, manage on a day-to-day the  
3 operations -- and actually, you'd be very surprised because,  
4 like, for example, the University of Central Florida, that's  
5 like 35,000 students, you know, 12,000 support personnel, and  
6 it's like a little city, you know. And the physical plant in  
7 the end -- and there's a lot of personnel, but in the end  
8 there's really only a handful of people that run the thing.  
9 And they have got buildings and students and they manage this.

10           And so speaking with this, like, director guy, you  
11 know, UM really wants to do something with renewables but  
12 thinks it can't. Apparently they tried and, you know, at the  
13 time I guess because there was no net metering allowed, maybe  
14 it's still like that. I don't know if Florida Power & Light is  
15 still here. So they're still, you know, under the impression  
16 that they're not allowed to do any kind of renewables on  
17 campus.

18           UCF, which is really, you know, a part of the Florida  
19 Solar Energy Center, would like to do it but is under the  
20 impression that it's way too expensive. And just sort of  
21 talking about it, so have you heard about this program? Like,  
22 last year, there was this incentive program and so they have no  
23 idea. So, you know, and the point of it is that, you know, all  
24 together you have 66 institutions in which literally, you know,  
25 almost half a million people go to school in which you only

1 have to approach, you know, a handful of people with whatever  
2 incentive programs there might be to get sort of the ball  
3 rolling.

4 UF tried to implement fuel cell a couple of years ago  
5 and, you know, I think were kind of engineering something.  
6 They thought it was neat. They want to buy a fuel cell, put it  
7 on-line, but apparently they're not allowed to because of the  
8 typical -- their contractual relationship they have with their  
9 power provider.

10 And then last year, the building construction --  
11 School of Building Construction made a new building, you know,  
12 which is a green building, and it's, like, lead (sic)  
13 certified. And all together, the way it's being built, they  
14 anticipate that it will consume about one-third of the energy  
15 that a normal other building, you know, with similar square  
16 footage would consume. And to sort of top it off, they want to  
17 put on 10 KVA of photovoltaics but no. They were not allowed  
18 to put on even a single little solar cell on the building  
19 because of some obligation. And so we asked them, well, how  
20 long does this obligation last? Well, it's lasting until, you  
21 know, 2017. So until 2017, even though it's a big university,  
22 kind of a flagship university of this state, they can't have  
23 any kind of renewable -- any kind of cell generation, you know,  
24 implemented on campus, but they're willing to. They're  
25 willing; they have got money. They want to, but they can't.

1           So what formula could work? You know, I asked them,  
2 so what would be good for you? For the University of Miami,  
3 you know, he says, well, some kind of grant opportunity where  
4 there is money available where different universities may be  
5 vying for it. You know, how can they best incorporate it into  
6 a new building and that sort of thing, so everything is sort of  
7 a grant-oriented type of program.

8           UCF is happy with any economic rationale. They said  
9 it's doesn't care as long as they could validate it to their, I  
10 guess, administrative staff, and say, well, sir, the panels  
11 lasts so long, or this technology lasts so long, and really, it  
12 ends up being, you know, a reasonable cost to us.

13           And the University of Florida is a little bit more  
14 sophisticated, and they say, well, we don't care if we pay for  
15 the system, integrate it and maybe sell the reductions. They  
16 are actually putting together sort of this carbon neutral plan.  
17 And they don't have any problems actually, you know, achieving  
18 the reductions and then transferring them off their balance  
19 sheet in exchange for money. So on various levels, there's  
20 interest in doing this.

21           So why is the academic setting kind of nice? Well,  
22 for one, it's expanding size and membership. I don't know if  
23 you've ever been to the University of Central Florida, but it's  
24 like a construction zone. And they're adding, you know, I  
25 think 20 more buildings in the next 5 years. Same for the

1 University of Florida in this next 10-year master plan.  
2 They're expected to expand by more than 15 percent, and they  
3 already have 17 million square foot. So, you know, it's  
4 expanding in numbers of buildings, so every day there's an  
5 opportunity. And these buildings -- state buildings have, you  
6 know, a lifetime -- expected lifetime of 50 to sometimes 100  
7 years.

8           They're very motivated clients in the sense that not  
9 just only administrative level but also for the operational  
10 level like physical plant, and also the students would like to  
11 see these kinds of things happen. In their overall budget,  
12 it's a relatively small impact, you know, and the students are  
13 actually willing to pay for it. You speak to student  
14 government and say, would you like to -- how would you think  
15 about, you know, affording, you know, the members of the  
16 student body the opportunity to study, for example, without  
17 having an impact on climate change? And they say, well, that's  
18 something we'd be willing to look at. And the comparative  
19 costs that are involved, and they say, well, that's something  
20 that's reasonable. That's something they could pass, the  
21 student government itself could pass in their own legal  
22 framework and add it on. And relative to, you know, the tens  
23 of thousands of dollars it costs for you to go to school these  
24 days, the 40 bucks ain't going to matter that much. So we can  
25 even have a lot of this paid for by students.

1           And then another idea is, of course, you could count  
2 the renewable energy assets that take place in the campus  
3 setting towards the utility's renewable portfolio standards.  
4 The University is not necessarily interested in owning and  
5 operating the PV system or whatever technology is in place.  
6 They don't really have a -- they just want it there. And if  
7 you look at, for example, just these three universities we just  
8 now looked at over the next 10 years, we'll spend \$540 million  
9 on electricity if the cost remains constant. It's over \$1  
10 billion if you take all 66 institutions. You know, and that's  
11 all taxpayers' money. That's me; it's you. It's everybody who  
12 lives in this state, you know, participates in this except for  
13 the private ones.

14           So how much does it really increase? The outlay is  
15 about 4.5 percent if you were to, you know, say it's two and a  
16 half cents per kilowatt hour, which a number you commonly hear,  
17 which is about equivalent of 20 cents -- or \$20 per ton CO<sub>2</sub>.  
18 If you look at the greenhouse gas portion, that's about the  
19 value. If you look at the green tag portion, it's about the  
20 number. And that's if you, for example, do 10 percent of all  
21 of, say, these universities and college contracts. That's with  
22 the 10 percent renewable objective. That's about -- you know,  
23 the total impact would be an increase of 4.5 percent.

24           And so in dollars per year for the renewable energy  
25 community, that would be about \$14.5 million per year, you

1 know, at the end. You can scale it out. Of course, you can't  
2 have 10 percent overnight, but you could sort of work towards  
3 that, but that could be a goal. And that may, you know, need  
4 some participation for you if you are providing comments to  
5 legislators, that, you know, that it makes it more easy for  
6 campuses to incorporate and to have the ability to -- in this  
7 case, for example, for UF to perhaps go back to the table and  
8 renegotiate this contract.

9 I think it's Florida Power Corp, but they were very  
10 adamant about not changing it. That would be really a pity. I  
11 mean, until 2017 they would be, you know, cut away. We  
12 wouldn't have -- you know, I'm thinking this is learning  
13 centers. Students go to school there. It's a fantastic  
14 opportunity. It's also a place where you can actually put PV  
15 in. New buildings are being built every day. So maybe through  
16 you-all's involvement, something like that can be achieved. So  
17 thank you very much.

18 CHAIRMAN JABER: Thank you.

19 MR. van SOESTBERGEN: And that was it.

20 CHAIRMAN JABER: Thank you. Commissioners, do you  
21 have any questions? Okay. Our next presenter is Steve Gorman  
22 with the Florida Solar Energy Industry Association.

23 MR. GORMAN: Perhaps we saved the best for last.  
24 It's late in the day. I do have the capability of talking  
25 fast. I plan to utilize that skill to my fullest. Thank you,

1 Commissioners, for allowing me to be here today. My name is  
2 Steve Gorman. I'm here on behalf of the Florida Solar Energy  
3 Industries Association, FlaSEIA. And we would simply like to  
4 point out to you some of the opportunities we see we have with  
5 solar opportunities here in Florida.

6 For definition purposes, we're going to be talking  
7 about two technologies. We're going to be talking about solar  
8 water heating and solar electric. So we have solar thermal, as  
9 indicated there on the roof, there on the roof, and solar  
10 electric. Who is FlaSEIA? We are the trade association here  
11 in Florida. We were established in the 1970s. We consist of  
12 licensed contractors, manufacturers, installers, research  
13 centers. Many utilities in the state are our members. Over  
14 100 members currently and of those 100 members certainly many  
15 of the 300,000 solar systems installed in the state of Florida  
16 were via our membership. We have growing manufactured capacity  
17 right now. We're adding about 18 to 22 percent of output  
18 capacity annually. And we believe our industry offers to the  
19 state of Florida quality, safety, and performance in energy  
20 products.

21 I'm just going to give you a quick overview of a  
22 scenario that we're looking at. Let's assume that we have  
23 500 -- or 5 million residential customers. We've heard a lot  
24 about willingness to pay today, willingness to buy. We made an  
25 assumption of half of 1 percent of people offered a solar



1 opportunity would buy. What that represents over a ten-year  
2 period is approximately 250,000 solar systems being installed.  
3 There is also a large economic development component to this.  
4 Those 250,000 systems would realize approximately 25,000 new  
5 jobs. Utilizing a ripple effect of 7 to 1, we're going to put  
6 about \$5 billion into the Florida economy. This is not unlike  
7 relocating or establishing an automotive manufacturing facility  
8 here in the state. Very similar numbers in economic jobs  
9 benefit.

10           The energy contribution, well, we're working at about  
11 730-million-kilowatt hours per year in energy delivered.  
12 Pollution, you've heard about it earlier. I won't go through.  
13 You can see that I have not given a value, but that has to be  
14 considered, we believe, in the analysis. We believe it's a  
15 number greater than zero, but we'll leave that to someone else.

16           Currently, there are a number of utility solar  
17 programs underway in the state of Florida. The IOUs have some;  
18 the munis are involved. One in particular that I would point  
19 out is a Lakeland program which is a very interesting, very  
20 unique program in the United States in that they are metering  
21 both solar thermal as well as solar electric. So they are  
22 billing the customer for generation. There the customers site  
23 on their rooftop.

24           Opportunities for Florida. It's good business.  
25 We've heard about it today many times. Customers and

1 shareholders of the IOUs, they want to see it. They will buy  
2 it. There are security issues that we as an industry, the  
3 solar industry, can address. We are the purest form of  
4 distributed generation you can have. And of course, there is  
5 huge environmental attributes that we as an industry can  
6 contribute.

7           Our recommendations to the Commission: We would like  
8 to see the property tax exemption reinstated. We would like to  
9 see the removal of the sales tax expiration passed. We  
10 certainly would like to see more use of solar on state  
11 facilities. One thing that would make a huge difference to the  
12 industry, and we have been battling it for over 20 years, is  
13 perhaps the elimination of the RIM test for solar. Perhaps  
14 that's something that we can look at. And you, the Commission,  
15 perhaps the utilities need to be, you know, rewarded. We need  
16 to be looking at new business models. They need to be  
17 incentified (phonetic) for moving into this new era that we're  
18 in. And call it what you want, RPS, whatever, but certainly  
19 again, it's something that I think that the state of Florida  
20 should consider.

21           That's my presentation. In closing, I would simply  
22 suggest that the state has made significant contributions in  
23 solar for over 20 years through the Florida Solar Energy  
24 Center, through licensing, through product certifications. We  
25 have the infrastructure. We are rapidly deployable. We have a

1 seasoned industry, and we believe that we have a certain  
2 component to play in Florida's energy future. So thank you  
3 very much.

4 CHAIRMAN JABER: Thank you, Mr. Gorman.

5 MR. GORMAN: Questions?

6 CHAIRMAN JABER: Yes. Can you tell me a little bit  
7 about the City of Lakeland program? You said it's one of  
8 the -- the only one in the country.

9 MR. GORMAN: It is the only program like it in the  
10 country. It is being funded through -- in part through the  
11 Department of Community Affairs' energy office. And it is a  
12 solar thermal program to where the utility puts the solar  
13 thermal out of sight. The solar thermal energy is metered and  
14 sold.

15 Many times people don't understand. They always  
16 think of a solar water heater, solar thermal system as a demand  
17 side. Well, in fact, it's not. It's the supply-side  
18 technology. And the Lakeland program, I think, is a dynamic  
19 model, proven model now, that clearly shows that it can be a  
20 supply-side technology.

21 COMMISSIONER PALECKI: Are these solar hot water  
22 heaters you're referring to or what --

23 MR. GORMAN: Solar water heater, yes.

24 COMMISSIONER PALECKI: Solar water.

25 MR. GORMAN: Correct.

1           COMMISSIONER PALECKI: And so that is paid for by the  
2 customer on his bill as if it was electricity that was heating  
3 the water. Is that how it --

4           MR. GORMAN: That is correct, with a slight deduction  
5 because of the efficiency. I mean, there -- because of the no  
6 fuel cost. So the customer is getting a value, the City of  
7 Lakeland is getting a value.

8           CHAIRMAN JABER: Commissioner Bradley, you had a  
9 question?

10          COMMISSIONER BRADLEY: No, he answered my question.

11          CHAIRMAN JABER: Okay. Any other questions?

12          MR. SMITH: Yeah. Does -- my name is David Smith.  
13 Does the Lakeland get green tags for that? Would that be  
14 something that they could capture and sell? Do you have any  
15 idea?

16          MR. GORMAN: I do not know. I'm not certain. And  
17 the gentleman was here earlier today that administers the  
18 program, but unfortunately, he's gone now. So I do not.

19          MS. SWIM: This is Deb Swim from LEAF. And I don't  
20 think they do get paid for the green tags, and that might be,  
21 you know, one of the next things Mel is trying to do.

22          MR. GORMAN: I will point out that in the green-e  
23 certification program that is working its way through. One of  
24 the first things that were done months ago, which was really  
25 not controversial at all, was the fact that stating that the

1 solar water heating system will qualify as a green-e product,  
2 so to speak.

3 MR. SMITH: I have one other question. Several  
4 times, I saw where people were putting up slides where they  
5 were saying solar thermal was very expensive relative to what I  
6 thought the cost was, and that must refer to solar thermal  
7 that's trying to create electricity as opposed to try to heat  
8 water. Do you have any idea of the cost per Btu or kilowatt  
9 hour?

10 MR. GORMAN: Well, that's why I show the -- for a  
11 solar water heater, typically your delivered energy cost is  
12 going to be between two and a half and five cents, and that  
13 depends upon climatic conditions, where you are within the  
14 state, Key West or Pensacola, system size, which is dependent  
15 upon either bedrooms or family or what have you.

16 CHAIRMAN JABER: Thank you.

17 MR. GORMAN: Thank you.

18 CHAIRMAN JABER: Commissioners, we have two final  
19 speakers. David Wentworth.

20 I was told you had brief comments.

21 MR. WENTWORTH: No, I do. I e-mailed things  
22 yesterday, but I don't know if they made them here or if I can  
23 get the computer working.

24 CHAIRMAN JABER: Why don't I let you all work that  
25 out informally, and if you don't mind, I'll let Mr. Ryan go

1 next.

2 MR. WENTWORTH: That's fine.

3 CHAIRMAN JABER: Mr. Ryan, do you want to make your  
4 comments?

5 MR. RYAN: Yes. These comments are -- for the  
6 record, my name is John Ryan; I'm with the Sierra Club. I also  
7 sit on their energy committee. These comments are basically  
8 mostly dealing with the presentations and some of the questions  
9 that some of the Commissioners had. As far as the donor  
10 program is concerned, much like you suggested, putting a  
11 checkmark and donating \$5 to a particular utility for projects,  
12 the only comparable project that I'm aware of is in Gainesville  
13 who has a donor program relative to renewable -- I believe it  
14 was renewable or solar power in Gainesville Electric's district  
15 area. You'd have to contact them to see how successful the  
16 program was, but if you do, I would also check to see how good  
17 their marketing was too.

18 The other thing that I wanted to disagree with on, we  
19 in Sierra Club would never consider MSW a renewable power. A  
20 standard mass burn facility has so many attributes that are --  
21 it would be virtually impossible even if we were supportive of  
22 that to get the public behind an MSW plant considered  
23 renewable. However, there is some emerging technology coming  
24 out there where it was syngas -- MSW to syngas technology that  
25 looks promising, but it's too early to tell whether in fact

1 that would be a good thing.

2           The other thing is energy crop production. Sierra  
3 Club has spent the past year looking at biomass and has  
4 developed some standards that we use for evaluation of biomass  
5 facilities. I will be glad to provide that to you later. I  
6 only have one copy. I'll give it on the record but send a copy  
7 to staff later.

8           We did some thorough review of what we think is a  
9 good biomass project and developed standards accordingly. One  
10 of the supplemental documents goes to some of the comments that  
11 were made earlier. The supplemental document was a guidance  
12 document on energy crops. It essentially stipulates that you  
13 need to take -- we have an invasive plant problem in the state  
14 of Florida that is costing millions and millions, hundreds of  
15 millions of dollars in the state of Florida to local  
16 governments all the way to the state and federal government.

17           There has been efforts to introduce new species in  
18 Florida for energy crop production. We are strongly concerned  
19 about that, and we developed a guidance document that requires  
20 a perspective energy crop developer to send their information  
21 about the crop to IFAS, their invasive plant working group.  
22 Dr. Stockard (phonetic) with the invasive plant working group  
23 has agreed to do an initial evaluation because their  
24 evaluations tend to take two to three years. And by then, we  
25 already -- and only when the invasive species is already

1 introduced will they normally evaluate it.

2           If an energy producer wants to evaluate an energy  
3 crop, he has to agree to develop a system and has developed a  
4 system by which an energy crop producer can quickly, easily go  
5 into IFAS and evaluate the invasive characteristics of that  
6 plant. And the costs would be enormous.

7           The other thing is, is a noticeable comparison in  
8 scale of renewable projects and distributed generation. I  
9 think most of the projects, except for some of the co-firing  
10 projects, fit the scale of DG. DG is not a commonly used  
11 technology in Florida. Renewable does fit the DG portfolio  
12 pretty well. I would suggest whatever encouragement in  
13 connection between distributed generation and renewable power  
14 be considered because of the additional efficiencies to the  
15 system that could ultimately argue for better, more efficient  
16 delivery of electricity at whatever the original price is. The  
17 loss factor may accomplish a reduction in the overall cost  
18 because a simple line loss is reduced because of DG.

19           I also -- on the PV systems, one of the things that's  
20 missing that has been an awful big issue, and some of the  
21 people are endorsing some of the approaches that some other  
22 people brought up here, it might be a very good idea for the  
23 Commission at least on the policy level or -- to advise the  
24 Legislature to consider that there is a market out there for  
25 essential services for PV. Whether you're speaking of



1 governments, emergency services, whether you are speaking of  
2 telephone systems, whether you're speaking of communication  
3 systems of any kind, cellular systems, there might be a very  
4 good incentive -- there might be a good way to develop an  
5 incentive to the PV industry to use that not only for green  
6 tagging and the benefits associated with renewables but also  
7 from a policy level to avoid some of the security issues  
8 associated with the power system and the communications  
9 associated with homeland security, for lack of a better term.

10           Okay. There is also a -- sorry, I'm looking at my  
11 notes. Oh, okay. There are also -- the last item is that I  
12 would also like you to take a look at, when you're looking at  
13 the cost-effective approaches of biomass when it considers  
14 urban wood waste, much of that cost structure is already  
15 accounted for on the front and on the delivery system for  
16 production and delivery. There may be additional costs to  
17 produce a product that is consistent with the firing of that  
18 renewable energy, but that when you analyze the costs of  
19 renewables, I think that you are looking at the gross cost, and  
20 on some of these urban wood waste projects that gross cost -- a  
21 portion of the gross cost is already covered under other  
22 programs. And you may want to look at the delivery of  
23 the actual delivery costs rather than the total costs  
24 associated with that because a tipping fee is already being  
25 paid for delivery.

1           And that's it. Thank you. And I will forward to the  
2 appropriate people our biomass standards and also that guidance  
3 document that IFAS has agreed to.

4           CHAIRMAN JABER: Staff will give you the appropriate  
5 e-mails, Mr. Ryan.

6           MR. RYAN: Thank you.

7           CHAIRMAN JABER: And thank you for your comments.

8           Okay. Mr. Wentworth.

9           And just for my knowledge, is there anyone else in  
10 the audience that would like to make comments?

11           MR. WENTWORTH: Folks, I'm David Wentworth. I  
12 appreciate the opportunity to speak and be heard. And I  
13 recognize I'm in the unenviable position, I think, of being  
14 last, so I will be brief. I had an opportunity to speak to you  
15 at the Tallahassee staff event, and I appreciate the  
16 opportunity just to quickly revisit some issues on landfill gas  
17 to electricity development. I am a vice president of  
18 development with Energy Developments, and we are landfill gas  
19 developers. That's pretty much exclusively what we do around  
20 the world.

21           Just some quick industry basics. As I think  
22 everybody knows, landfills generate methane through anaerobic  
23 decomposition of waste. That produces landfill gas which is  
24 nominally about 55 percent methane, which is the fuel value,  
25 about 40 percent carbon dioxide, and 5 percent other balance

1 gases, oxygen, nitrogen, and some non-methane organic  
2 compounds, primarily. And most Florida landfills, most of the  
3 ones that I've seen that are large enough to support projects  
4 already have landfill gas collection systems in place or plan  
5 to be in place either because of Title IV and NSPS Federal EPA  
6 standards or because they're, frankly, environmentally  
7 motivated, and they're trying to be conservative in their  
8 planning.

9           So from a time-to-market standpoint that capital  
10 investment has frequently already been made either by the  
11 private landfill owner or the municipality that owns the site.  
12 And as somebody mentioned earlier, in round numbers about a  
13 million tons of waste in place, MSW waste, putrescible waste,  
14 not construction and demolition debris, not ash, produces  
15 around a megawatt of electricity. And I apologize, I don't  
16 know why this is -- oh, I know why.

17           And the technology for generating power from landfill  
18 gas is mature, it's reliable, it's been done for a long time.  
19 There are 220 sites in the country, and it's growing every  
20 year. I don't know if I can get up there. I don't have a  
21 pointer. Fundamentally, the power generation from landfill gas  
22 is very simple. The landfill gas typically is drawn into the  
23 landfill by a blower module that comes off the site through a  
24 series of collection wells and headers. That blower module  
25 puts a positive pressure on the landfill. The gas comes in

1 usually fully saturated with water. The condensate separator  
2 knocks out that water and as much of the water-soluble  
3 compounds as you can take out. The gas then goes from there to  
4 a series typically of IC engines, and these are -- in EDI's  
5 case, we have done containerized IC engines with an engine  
6 generator set inside a container, a cooling apparatus on top.  
7 And from this arrangement power is generated. The medium Btu  
8 engines are fueled by the landfill gas. We produce  
9 electricity.

10           The electricity is exported to the electric export  
11 module which has all the control mechanisms. That electricity  
12 is exported out to the grid. And any excess gas that isn't  
13 processed and/or any gas that would flow in a time either for  
14 scheduled or unscheduled maintenance would flow to a flare  
15 which destroys that gas and would otherwise be required to be  
16 in place anyway as part of the landfill's control mechanism.

17           Again, very straightforward, very mature technology.  
18 There is currently installed in Florida about 26 megawatts, and  
19 there is additional planned generation for about 32. Some of  
20 which I am proposing on, our company is proposing on. And the  
21 LFG generation capacity, that 143-megawatt number is -- it's  
22 better than anybody's guess, but it's less than perfect  
23 science. It really has a lot to do with waste inflow profiles,  
24 wind sites, and those sites that don't have collection systems,  
25 when they would install them, what the ability is to capture

1 incremental gas that may be processed now in an existing  
2 facility.

3           The environmental benefits are pretty clear. Avoided  
4 total emissions, displaced landfill emissions, avoided fossil  
5 fuel emissions, these are million tons of carbon equivalence  
6 and avoided mined coal, which I mentioned primarily because  
7 landfill gas facilities behave like base-load facilities. They  
8 are not dispatchable; they're must-run facilities. You can't  
9 store landfill gas at a landfill. So once you turn them on,  
10 you run them. And they are about 90 percent available  
11 typically, which is good for our industry. So they really  
12 behave like base-load coal facilities, and therefore, the ton  
13 of coal that isn't converted to power is also a ton of coal  
14 that isn't mined.

15           And as I mentioned before, I live in Pennsylvania, so  
16 coal mining has a lot bigger impact to us and West Virginia and  
17 the folks up there than perhaps it does environmentally here in  
18 Florida. As I mentioned, plant availability is quite favorable  
19 for a renewable resource with the exception -- well, I think  
20 without exception it's probably the best available renewable  
21 resource.

22           Total installed cost, \$750 to \$1,250 per kW. That  
23 would be for an economic project. The lower range would be for  
24 a very, very large project perhaps in a very favorable power  
25 market. I would say \$900 to \$1,100 would be about where the

1 industry is right now in most power markets. Time to market is  
2 also fairly attractive, 9 to 18 months, and I would say half of  
3 that time is represented by permitting uncertainty and  
4 interconnection uncertainty. If there are established  
5 tariff-based arrangements for doing interconnection,  
6 particularly for renewables, you can save a great deal of time  
7 that way. And similarly, as long as permitting is  
8 straightforward and is not challenged usually through public  
9 comment, 12 months is a very reasonable time to get these  
10 assets on the ground.

11           One of the things that a lot of people don't  
12 necessarily understand is that landfill gas permitting is a  
13 direct function of the landfill's permitting. The landfills  
14 have solid waste permits which specify, among other things, how  
15 they are to collect and destroy their landfill gas. A landfill  
16 gas facility requires a modification of that permit, which is  
17 very straightforward. And similarly, landfills have air  
18 permits. And those air permits also have to be modified or  
19 amended to account for a change in how you're destroying the  
20 landfill gas and if there are -- you know, the emissions that  
21 would be reduced through eliminating or reducing flaring and  
22 any emissions that would be generated through power production.

23           Zero water requirements, zero water discharge, pretty  
24 important in Florida. Similarly, siting issues. Obviously, no  
25 coastal siting issues, and with few exceptions landfill gas

1 facilities are on landfills which already have a known  
2 environmental impact to the community. Good or bad, it's known  
3 and it's understood, and therefore, typically generation  
4 facilities once people understand them are viewed positively as  
5 opposed to negatively.

6 Challenges to the market, and I may add a couple of  
7 other quick comments here, but financeable term power purchase  
8 agreements are critical. Seven to 15 years I would say are the  
9 bounds of the contracts that people need to put these kinds or  
10 any renewables on the ground and finance them. And one of the  
11 significant problems I think in this kind of market is, as a  
12 generator, I need to have that kind of contract on the sell  
13 side; rather, on the buy side for the utility. But the utility  
14 has little or no protection on the sell side with their  
15 customer. They certainly can't enter into a ten-year contract  
16 for a premium price renewable product. I'm not suggesting that  
17 you can solve that problem, but it's a serious impediment, I  
18 think, for the utilities to commit to go long on these kinds of  
19 renewable resources.

20 Interconnection issues are all over the map in every  
21 state, and in some places, they're very straightforward, in  
22 other places they're very challenging. If there's an  
23 opportunity to integrate the regional transmission grid even  
24 with respect to renewables, perhaps renewables deserve some  
25 kind of exemption simply because of their small scale and their

1 environmental benefit. To the extent that politically and  
2 technically people could get their arms around that, I think it  
3 would be a huge help.

4           In the absence of being able to do that, the issues  
5 that Mel Jones spoke about are absolutely critical. I mean,  
6 the opportunity to put a renewable resource into Florida's grid  
7 which is fixed in space and be able to sell it to -- if I put  
8 something in in south Florida and JEA wants to buy it, there  
9 really needs to be a mechanism by which to do that. And you  
10 can do contracts for differences, and you can do renewable tags  
11 and TRECs as long as there's an understanding in the  
12 marketplace that those are valid within the entire state.

13           And also, consumer education. I mean, a lot of  
14 people have spoken on it. It's absolutely critical. I've  
15 heard Green Mountain, who are very, very good marketers of  
16 these products, talk about it repeatedly. Market awareness is  
17 critical. And consumer protection is equally critical.

18           And just another kind of ancillary comment. As I  
19 mentioned Tallahassee, there's been a great deal of effort put  
20 forth in Florida by this CRS-sponsored stakeholders group for  
21 green accreditation of which I'm a member, and I've been a  
22 subcommittee member for biomass standards. And I think there  
23 are a couple of potential disconnects that at least the  
24 Commission would want to examine as to whether they're  
25 important or not. Some of them have to do with resource



1 content. If the Good Housekeeping seal of approval, as it  
2 where, includes or rather excludes explicitly, which it does,  
3 waste to energy facilities and existing facilities and the  
4 Commission were to include those in a recommendation to the  
5 Legislature, it does set up some confusion as to the  
6 credibility as to which of these resources are blessed as  
7 renewable and should there be some sort of hierarchy of, you  
8 know, what, good, better, and best, which gets very complicated  
9 for the consumer, I think.

10           Reliable standards is absolutely critical. And it's  
11 even more important if you sell tags as a way to get the  
12 renewable product to the customer because that's even more  
13 amorphous than electricity is. So there has to be some kind of  
14 standard that people can attach to.

15           A couple of quick pictures. This is a 2.7-megawatt  
16 facility which we put on the ground in Ohio last year. That  
17 requires about 1,000 standard cubic feet per day of landfill  
18 gas. For our company and I think for a lot of companies,  
19 that's the smallest project that an independent generator  
20 probably would tackle. On the other scale, this is a  
21 14.8-megawatt facility also in Ohio commissioned last year, and  
22 this is on about 5,500 SCFM of gas. That's a very large  
23 landfill of which there are few undeveloped left in Florida.

24           Some quick propaganda about us which I needn't go  
25 over again. And I mentioned LMOP who was actually intended to

1 be here and speak in this spot today, but Chris Bole (phonetic)  
2 asked me to speak in his stead. They're an important resource.  
3 They're really the only entity that I know of that is an  
4 objective federal agency whose job it is to basically champion  
5 landfill gas as a resource and create and maintain a database  
6 for that information, which they're doing a very good job and a  
7 much better job of. And these two folks here are the people --  
8 and I would urge you to contact them and provide you data and  
9 information that they have. And that is all.

10 CHAIRMAN JABER: Thank you, Mr. Wentworth.

11 MR. WENTWORTH: I appreciate your time.

12 CHAIRMAN JABER: Commissioners, do you have any  
13 questions?

14 COMMISSIONER PALECKI: Just one quick question. What  
15 is the effective life of a landfill, or do they just -- can you  
16 keep pulling off gas as long as garbage keeps being dumped on  
17 it?

18 MR. WENTWORTH: I'm glad you mentioned that because  
19 somebody mentioned earlier that these resources are sort of  
20 short-term resources. And I would actually take issue with  
21 that. If a landfill is open and if it's continuing to take in  
22 waste -- and I'll pick some planning numbers which we use. If  
23 a landfill is taking in 200,000 tons per annum of municipal  
24 solid waste and continues to do that, then it will continue to  
25 generate gas. Gas curves fundamentally grow over a certain

1 period of time for a unit of waste and they drop off. And a  
2 gas curve is a series of these little cells of waste creating  
3 this behavior. So as long as new waste comes, the light -- it  
4 really is arguably in perpetuity.

5           When you close a landfill -- and we have some  
6 projects on some closed landfills -- it's probably ten years.  
7 It may be 15, it may be 6. It's not a perfect science.  
8 There's a lot going on under there which nobody can really see,  
9 but as long as a landfill is open and taking waste, and I think  
10 that's where the real environmental benefit comes, then it's a  
11 very reliable -- certainly a 20-year from a planning  
12 perspective fuel source.

13           COMMISSIONER PALECKI: Thank you.

14           CHAIRMAN JABER: Commissioner Bradley.

15           COMMISSIONER BRADLEY: Yes. And what happens  
16 environmentally when a landfill discontinues to -- no longer  
17 continues to develop methane gas?

18           MR. WENTWORTH: Well, I can tell you what happens  
19 when a landfill closes. A landfill closes and EPA and DEP  
20 mandate certain postclosure requirements, which as I understand  
21 them are 30-year requirements, and gas collection and gas  
22 monitoring and air quality and all those things are incumbent  
23 upon the landfill owner and are bonded and all those sorts of  
24 things. As gas production drops off, physically nothing  
25 happens other than the methane emissions, if that isn't either

1 flared or processed, would decrease, but it takes a while, a  
2 long time.

3 CHAIRMAN JABER: Our final speaker this evening,  
4 Commissioners, is Deb Swim with LEAF.

5 MS. SWIM: Thank you, Chairman Jacobs (sic) for the  
6 opportunity to speak and thank you all for sticking it out all  
7 day. I'm really impressed and pleased. I just wanted to touch  
8 briefly two points. And we did make a presentation at the  
9 first workshop which I provided to you. I wanted to kind of  
10 make sure that you're thinking of both an RPS and a public  
11 benefit fund and not focus on one to the exclusion of the  
12 other. And the reason for this is that technologies vary in  
13 both financial readiness and technical readiness as well as, of  
14 course, environmental impact. And so you have to kind of be a  
15 tailor and fashion your policies to accommodate these  
16 variances.

17 For example, PV technology is technically ready but  
18 it's higher cost. And if you have it compete against landfill  
19 gas and an RPS without a set-aside for PV, you're not going to  
20 get any PV. PV also in terms of the environmental impact, you  
21 know, it varies too between biomass and PV. So, you know, a  
22 good tool for the less mature technology is whether they're  
23 less mature financially or technically is a public benefit fund  
24 because if does focus on transforming markets for those less  
25 commercially viable technologies.

1           For the more mature technologies, an RPS is a better  
2 tool because it basically, you know, captures -- allows  
3 competition between the technically ready technologies. Now,  
4 since PV is technically ready, you could include it in an RPS,  
5 but you would have to have a set-aside for it if you expected  
6 it to compete against the lower cost opportunities. So in  
7 terms of, you know, policy for technical readiness, RPS;  
8 financial readiness, PBF. And for environmental impact,  
9 there's been some interesting discussions about different  
10 tools, emissions registries, tradeable renewable energy  
11 credits, and, you know, I encourage you to consider these kind  
12 of mechanisms to be able to make -- to harness the market  
13 forces that we're all trying to do. That's my one point.

14           My second point has to do with money. Where are we  
15 going to get it from to move in a new direction? I encourage  
16 you to look at the potential for bill savings from energy  
17 efficiency investments. We can save money by improving  
18 building and equipment efficiency instead of building new power  
19 plants as we grow. We can use some of those money savings to  
20 help support these investments and clean energy that we all  
21 want to make happen.

22           If we can come up with a higher level of investment  
23 for state R&D and clean energy technologies -- and Florida is,  
24 like, the bottom of the heap with this. Our Florida energy  
25 office is pretty much depleted in funds. And the utilities

1 used to invite this a lot more, but with the pressures of  
2 restructuring, they really reduced their R&D budgets. And you  
3 can look at the measure. It's in the Energy 2020 experts'  
4 report. We're at the bottom of the heap nationally. If we can  
5 increase our federal -- or state R&D expenditures, we can then  
6 qualify for more federal R&D money. So I encourage you to  
7 consider that in the money arena.

8           And just to echo John Ryan's comments about  
9 distributed resource planning. Distributed supplies can be  
10 cheaper than central ones, and we as a state are not really  
11 doing that. We need to think about it more. And to echo  
12 the -- I guess it was Florida Sugar. You know, there are  
13 significant economic benefits from developing our in-state  
14 supplies. So I would encourage you to consider those money  
15 features. So thank you.

16           CHAIRMAN JABER: Thank you. Let me take an  
17 opportunity to close this out by thanking all of you,  
18 especially those that have stuck to the very end. You are in  
19 for a treat, though. Because you have stuck to the end, Jim  
20 can now announce what our future schedule is and our future  
21 intent for processing this initiative on behalf of the  
22 Legislature.

23           Thank you again. If you have any questions, the  
24 staff contacts are Jim Dean and Judy Harlow. I think you all  
25 know them by now.

1 Jim.

2 MR. DEAN: Yeah. Thank you-all for coming. I would  
3 like to just remind people to please sign up on the sign-up  
4 sheet, and we will put you on an e-mail list to notify you of  
5 the next meeting. We don't have a firm date yet, but staff's  
6 plan is to try to put something down as a draft document and  
7 let people have an opportunity to give us feedback. We're  
8 probably looking at the last of September to have that, but I  
9 need your name on the e-mail list if you want to get a  
10 notification of the time and place. So I'll leave it up here.  
11 And thanks again for coming.

12 CHAIRMAN JABER: Thank you.

13 (Workshop concluded at 5:45 p.m.)

14 - - - - -

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA )

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON )

4

5 I, TRICIA DeMARTE, Official Commission Reporter, do hereby  
6 certify that the foregoing proceeding was heard at the time and  
7 place herein stated.

8

9 IT IS FURTHER CERTIFIED that I stenographically  
10 reported the said proceedings; that the same has been  
11 transcribed under my direct supervision; and that this  
12 transcript constitutes a true transcription of my notes of said  
13 proceedings.

14

15 I FURTHER CERTIFY that I am not a relative, employee,  
16 attorney or counsel of any of the parties, nor am I a relative  
17 or employee of any of the parties' attorneys or counsel  
18 connected with the action, nor am I financially interested in  
19 the action.

20

21 DATED THIS 12th DAY OF SEPTEMBER, 2002.

22

23

24 *Tricia DeMarte*  
25 \_\_\_\_\_  
TRICIA DeMARTE  
FPSC Official Commission Reporter  
(850) 413-6736

26

27

28

29

30

31

32

33

34

35

36