


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 050001-EI

In the matter of
FUEL AND PURCHASED POWER COST
RECOVERY CLAUSE WITH GENERATING
PERFORMANCE INCENTIVE FACTOR.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT
ARE A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING.
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 5

Pages 660 through 851

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN BRAULIO L. BAEZ
COMMISSIONER J. TERRY DEASON
COMMISSIONER RUDOLPH "RUDY" BRADLEY
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER ISILIO ARRIAGA

DATE: Wednesday, November 8, 2005

TIME: Commenced at 9:00 a.m.
Concluded at 6:38 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: MARY ALLEN NEEL
Registered Professional Reporter
(850) 878-2221

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER - DATE

11052 NOV 17 12

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

| NAME | PAGE |
|--|------|
| GEORGE BACHMAN | |
| ROBERT CAMFIELD | |
| CHERYL MARTIN | |
| MARK CUTSHAW | |
| Direct Examination by Mr. Horton | 665 |
| Prefiled Direct Inserted (01 Docket) | 668 |
| Prefiled Direct Inserted (Fuel Cost Recovery) | 688 |
| Cross-Examination by Ms. Christensen | 727 |
| Cross-Examination by Ms. Vining | 754 |
| Redirect Examination by Mr. Horton | 768 |
| WILLIAM A. SMOTHERMAN | |
| Direct Examination by Mr. Beasley | 774 |
| Prefiled Direct of David A. Knapp Inserted | 776 |
| Prefiled Direct of William Smotherman Inserted | 785 |
| Cross-Examination by Ms. Christensen | 808 |
| Cross-Examination by Ms. Vining | 830 |
| CERTIFICATE OF REPORTER | 851 |

| | EXHIBITS | | |
|----|----------|--|---------|
| | NUMBER | I. D. | ADMTD. |
| 1 | | | |
| 2 | | | |
| 3 | 21 | | 772 |
| | 22 | | 772 |
| 4 | 23 | | 772 |
| | 24 | | 772 |
| 5 | 25 | | 772 |
| | 26 | | 772 |
| 6 | 27 | | 772 |
| | 28 | | 772 |
| 7 | 29 | | 772 |
| | 30 | | 772 |
| 8 | 31 | | 772 |
| | 32 | | 772 |
| 9 | 33 | | 772 |
| | 72 | | 850 |
| 10 | 73 | | 850 |
| | 83 | Correction to CMM-4 | 772 850 |
| 11 | 84 | Late-filed deposition exhibit of Smotherman | 822 805 |
| 12 | 85 | GPIF Manual Sheets 4.403 and 4.404 | 822 850 |
| | 86 | Selected Pages from GPIF Manual | 830 850 |
| 13 | 87 | Excerpts from Order No. 9558 | 830 850 |
| | 88 | Page 9 from Smotherman testimony | 830 850 |
| 14 | | in Docket 03000-EI | 830 850 |
| | 89 | Excerpts from TECO filings | 830 850 |
| 15 | | | |
| 16 | | | |
| 17 | | | |
| 18 | | | |
| 19 | | | |
| 20 | | | |
| 21 | | | |
| 22 | | | |
| 23 | | | |
| 24 | | | |
| 25 | | | |

P R O C E E D I N G S

(Transcript follows in sequence from Volume 4.)

CHAIRMAN BAEZ: We'll go back on the record.

Mr. Horton, your witnesses.

MR. HORTON: Yes, Mr. Chairman. We have two pieces of testimony that I'm going to go through. Just for clarification, the first one is the panel testimony of Mr. Bachman, Mr. Cutshaw, and Ms. Martin that's styled in the docket, the 01 docket. And the second piece is the direct testimony of George Bachman, Cheryl Martin, Mark Cutshaw, and Robert Camfield, and it's titled "Fuel Cost Recovery and Phase-in Plan," just for clarification.

CHAIRMAN BAEZ: Wait, wait, wait. Okay. And I know that you tried to explain this to me. The two pieces -- now, I have -- there's separate testimony for Cheryl Martin, et al.?

MR. HORTON: No, sir. No. That's all included in the panel testimony.

CHAIRMAN BAEZ: In the panel testimony.

MR. HORTON: Yes, sir.

CHAIRMAN BAEZ: Okay. And then there's the other panel testimony.

MR. HORTON: And then there's the other, yes, sir.

CHAIRMAN BAEZ: Okay. Proceed.

1 MR. HORTON: And with respect to the 01 docket,
2 on the second page there, and unfortunately it's not
3 numbered, on line 13 we show Mr. Bachman as being the
4 respondent. That should Mr. Bachman and Mr. Camfield.

5 CHAIRMAN BAEZ: I'm sorry. Where are you
6 looking at?

7 MR. HORTON: It's the second page in, line 13,
8 that says, "Answer. Bachman: FPUC feels." It should be
9 Mr. Bachman and Mr. Camfield both.

10 CHAIRMAN BAEZ: I see.

11 MR. HORTON: Sorry for the confusion, but --

12 CHAIRMAN BAEZ: No, that's all right.

13 MR. HORTON: And the next step is that
14 unfortunately my witnesses were all mingling around
15 outside yesterday, so none of them have been sworn.

16 CHAIRMAN BAEZ: None of them have been sworn.
17 Shame on you all. All right. Are all your witnesses in
18 the room at this point?

19 MR. HORTON: Yes, sir, they're all over there.

20 CHAIRMAN BAEZ: Okay. If you would stand and
21 raise your right hand.

22 (Witnesses collectively sworn.)

23 Thereupon,

24 GEORGE BACHMAN, CHERYL MARTIN, MARK CUTSHAW,
25 and ROBERT CAMFIELD

1 were called as a panel of witnesses on behalf of Florida
2 Public Utilities Company and, having been first sworn,
3 testified as follows:

4 DIRECT EXAMINATION

5 BY MR. HORTON:

6 Q. Mr. Bachman, Mr. Cutshaw, and Ms. Martin, would
7 you all please state your names, address, and by whom are
8 you employed?

9 A. (By Mr. Bachman) My name is George Bachman. I
10 am the chief financial officer for Florida Public
11 Utilities Company located in West Palm Beach, Florida.

12 A. (By Mr. Camfield) My name is Robert Camfield. I
13 am vice president for Christensen Associates. We operate
14 in Madison, Wisconsin. The address is 4610 University
15 Avenue, Madison, 53705.

16 A. (By Ms. Martin) I'm Cheryl Martin. I'm the
17 controller for Florida Public Utilities. My address is
18 401 South Dixie Highway, West Palm Beach, Florida, 33401.

19 A. (By Mr. Cutshaw) My name is Mark Cutshaw. I'm
20 the director of the Northwest Florida Division in Marianna
21 for Florida Public Utilities Company. The address is P.O.
22 Box 610, Marianna, Florida.

23 Q. Now, Mr. Bachman, Mr. Cutshaw, and Ms. Martin,
24 have you prepared and prefiled direct testimony in the 01
25 proceeding?

1 **A.** (By Mr. Bachman) Yes, we have.

2 **Q.** Do you have any changes to make to that portion
3 of your testimony?

4 **A.** None other than what you've already stated.

5 **Q.** If I were to ask you the questions contained in
6 that testimony today, would your answers be the same?

7 **A.** Yes.

8 **MR. HORTON:** Mr. Chairman, I would like to ask
9 that the testimony in the 01 docket be inserted into the
10 record as though read.

11 **CHAIRMAN BAEZ:** Without objection, show the
12 prefiled testimony of witnesses Martin, Bachman -- Bachman
13 and Cutshaw?

14 **MR. HORTON:** Yes, sir.

15 **MS. CHRISTENSEN:** Commissioner, can I ask for
16 clarification? On the testimony that was filed on
17 September 21st as part of -- originally filed in the
18 050317 docket, it's also panel testimony. The questions
19 in that -- the questions and answers in that testimony do
20 not identify the individual or individuals that are
21 responding to the specific questions. And I think for
22 clarity of the record, since they did identify the
23 individuals answering the specific questions in the 01
24 testimony, if they could go ahead and file or identify in
25 a separate document, maybe to be late-filed, who is

1 responding to which questions. It's not clear in that
2 testimony.

3 CHAIRMAN BAEZ: Is there --

4 MR. HORTON: Commissioner, we haven't gotten to
5 that testimony yet, but I can provide some clarification.

6 CHAIRMAN BAEZ: Then let's hold off on that.

7 MS. CHRISTENSEN: Okay.

8 CHAIRMAN BAEZ: Let's get the prefiled in the 01
9 docket, and that is by Martin, Bachman, and Cutshaw.
10 Without further objection, it's entered into the record as
11 though read.

12 MR. HORTON: Thank you, sir.

13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION
DOCKET NO. 050001-EI
CONTINUING SURVEILLANCE AND REVIEW OF
FUEL COST RECOVERY CLAUSES OF ELECTRIC UTILITIES

Direct Testimony of
George M. Bachman, Mark Cutshaw,
Cheryl M. Martin
On Behalf of
Florida Public Utilities Company

- 16 Q. Please state your names, employer and business addresses.
- 17 A. George M. Bachman, Florida Public Utilities, Company, 401 South
18 Dixie Highway, West Palm Beach, FL 33401.
- 19 A. Mark Cutshaw, Florida Public Utilities Company, 2825 Pennsylvania
20 Avenue, Marianna, Fl 32448.
- 21 A. Cheryl M. Martin, Florida Public Utilities Company, 401 South
22 Dixie Highway, West Palm Beach, FL 33401.
- 23 Q. Have you previously testified in this Docket?
- 24 A. Bachman, Cutshaw, and Martin: Yes.
- 25 Q. What is the purpose of your testimony at this time?
- 26 A. Martin: I will briefly describe the basis for the computations that
27 were made in the preparation of the various Schedules that we have
28 submitted in support of the January 2006 - December 2006 fuel cost
29 recovery adjustments for our Consolidated Electric division and for
30 informational purposes, the two separate electric divisions. In
31 addition, I will advise the Commission of the projected differences
32 between the revenues collected under the levelized fuel adjustment
33 and the purchased power costs allowed in developing the levelized
34 fuel adjustment for the period January 2005 - December 2005 and to
35 establish a "true-up" amount to be collected or refunded during
36 January 2006 - December 2006.
- 37 Q. You are also proposing that the Commission allow FPUC to
consolidate their Fuel Cost Recovery Clause and fuel rates for

1 their two operating divisions (Northeast Florida-Fernandina Beach,
2 and Northwest Florida- Marianna) aren't you?

3 A. Martin: Yes we are. FPUC should be allowed to consolidate their
4 Fuel Cost Recovery Clause and fuel rates for the two operating
5 divisions. This would be consistent with the Commission's practice
6 within the State of Florida of other investor owned utilities.
7 Moreover, fuel consolidation is consistent with the Commission's
8 recent action to consolidate base and conservation rates for FPUC's
9 customers in 2004. We also feel this would also be beneficial to
10 all FPUC customers in the long term.

11 Q. Why does FPUC feel it is appropriate to allow consolidation of the
12 Fuel Cost Recovery Clause for their electric operations?

13 A. Bachman: FPUC feels it is appropriate to consolidate their Fuel
14 Cost Recovery Clause and fuel rates for several reasons.

15
16 First, as Cheryl previously mentioned, the consolidation of fuel
17 rates for all customers in a Company's operating divisions within
18 the State of Florida is consistent practice within the State of
19 Florida for all other investor owned electric utilities. All
20 electric utilities in the State of Florida have one set of fuel
21 rates for all retail customers regardless of the actual costs
22 associated with obtaining fuel for those individual customers.
23 Even if there is only one fuel contract to serve all customers in
24 their operating areas, those contracts have more than likely been
25 developed by averaging the actual cost to serve their customers
26 living in different areas into one set of weighted average rates.

27
28 Second, the Commission has allowed consolidation of FPUC's base and
29 conservation rates for many of the same reasons that apply to the
30 fuel rates. In our recent base rate proceeding, the Company

1 offered support for consolidation of all rates. See Docket No.
2 030438-EI and Docket No. 030002-EI for additional details on the
3 consolidation of these two rates.

4
5 Third, the consolidated fuel factor for FPUC will provide
6 additional savings to the FPUC ratepayers by reducing the cost
7 associated with preparing and filing the fuel adjustment factors.
8 The savings will include corporate accounting costs to prepare one
9 filing rather than two, division costs to prepare to file one
10 tariff revision rather than two and the legal costs to make one
11 filing rather than two. The quantifiable cost savings associated
12 with these activities are as follows:

13

| | |
|--------------------------------|---------|
| Corporate Accounting Savings - | \$1,000 |
| Division Savings - | \$1,250 |
| Legal Savings - | \$ 500 |

14
15 Furthermore, one can reasonably expect that the FPSC and its staff
16 would experience savings in the areas similar to our savings
17 mentioned above relating to the review, audit, and administrative
18 work associated with the fuel filings. While we do not have a basis
19 to assess or measure these savings, the FPSC staff may be able to
20 guide the Commission in the assessment of the direct savings in the
21 on-going costs of this reduction that may materialize on the
22 regulatory agency side.

23
24 The final reason to consolidate fuel is the mitigation of price
25 risk inherent to wholesale markets. As discussed by our consultant
26 in our testimony in support of the Phase in of expected prices of
27 new contracts for fuel, price risk is costly to retail consumers,
28 and it is appropriate to mitigate price risk where possible. The

1 level and volatility of wholesale electricity prices are, to a
 2 substantial extent, determined by the level and volatility in the
 3 prices of primary fuels, particularly natural gas. In turn, price
 4 volatility of fuels is determined by the level of scarcity of
 5 supply in comparison to the level of demand. Although natural gas
 6 volatility is also sensitive to seasonal weather patterns - e.g., a
 7 cold snap in the Northeast - and unexpected supply shocks - e.g.,
 8 Hurricane Katrina - natural gas has also been relatively scarce
 9 beginning in the third quarter of 2005 as a result of continued
 10 pressure on supply. In summary, natural gas prices can be
 11 unusually volatile during periods of relative scarcity, in this is
 12 manifested directly in wholesale spot price volatility.

13
 14 An historical perspective is always useful, and shown below.
 15 observed prices and volatility at commercial hubs within the
 16 Eastern Interconnection.

| Year | PJM West | | Florida-Ga Border | | In-State Florida | | SERC | |
|---------|----------------------------|---------------------------------|----------------------------|---------------------------------|----------------------------|---------------------------------|----------------------------|---------------------------------|
| | Average Daily Prices | Variation In Daily Prices | Average Daily Prices | Variation In Daily Prices | Average Daily Prices | Variation In Daily Prices | Average Daily Prices | Variation In Daily Prices |
| 1996 | \$0.00 | \$0.00 | | | \$25.36 | \$3.15 | \$24.85 | \$3.52 |
| 1997 | \$0.00 | \$0.00 | | | \$28.59 | \$6.45 | \$26.23 | \$8.33 |
| 1998 | \$28.39 | \$9.96 | \$61.14 | \$93.66 | \$44.79 | \$47.15 | \$47.10 | \$49.78 |
| 1999 | \$38.79 | \$20.78 | \$49.52 | \$43.96 | \$54.57 | \$54.40 | \$50.60 | \$50.71 |
| 2000 | \$40.40 | \$11.97 | \$48.01 | \$10.75 | \$50.59 | \$11.29 | \$42.99 | \$11.79 |
| 2001 | \$40.39 | \$12.49 | \$41.75 | \$7.41 | \$46.23 | \$7.53 | \$38.08 | \$8.48 |
| 2002 | \$35.89 | \$9.33 | \$34.95 | \$5.41 | \$40.41 | \$6.64 | \$30.55 | \$4.77 |
| 2003 | \$48.63 | \$10.13 | \$45.12 | \$8.50 | \$52.58 | \$9.12 | \$42.00 | \$7.96 |
| 2004 | \$53.50 | \$6.41 | \$51.31 | \$3.76 | \$55.69 | \$4.49 | \$48.71 | \$3.73 |
| Average | \$40.85 | \$11.58 | \$47.40 | \$24.78 | \$49.27 | \$20.09 | \$42.86 | \$19.60 |

17
 18 Currently prices are sharply higher than the prices shown above,
 19 and there appears to be little immediate relief in sight.

20
 21 This means that short-term volatility in primary fuel prices and
 22 thus wholesale power prices are likely to remain for some time.
 23 Accordingly, wholesale power suppliers are increasingly reluctant

1 to engage in long-term contracts without the appropriate mechanisms
2 to hedge risks. These mechanisms imply that it is likely that FPUC
3 will, within its new contracts, be shouldering some of costs of
4 price hedging, as incorporated within the commercial terms of the
5 new contracts. As envisioned, the provisions of the new contracts
6 will vary from one contract to another, and thus the integration of
7 the contracts under a common fuel clause umbrella means that retail
8 consumers can better hedge the price risk inherent in fuel
9 contracts, to the benefit of all.

10 Q. Please describe the regulatory treatment that FPUC would implement
11 for the true-up amounts that exist for each division at the end of
12 the last month prior to consolidating the two division's factors.

13 A. Martin: It is the intention of FPUC to incorporate the true up
14 amounts that exists for each division at the end of the last month
15 prior to consolidating the two division's factors into the
16 consolidated rate calculations. An alternative course of action
17 would be to exclude the respective true-up amounts from the
18 consolidated rate calculations then adjust the resulting
19 consolidated factor by each true up amount for the respective
20 divisions. The company would then collect from/refund to the
21 customers for a one year period or until the end of 2006.

22 Q. Were the schedules filed by your Company completed under your
23 direction?

24 A. Martin: Yes.

25 Q. Which of the Staff's set of schedules has your company completed
26 and filed?

27 A. Martin: We have filed Schedules E1, E1A, E2, E7, E8 and E10 for our
28 Consolidated Electric division. They are included in Composite
29 Prehearing Identification Number CMM-6. For informational and
30 analysis purposes only, we have filed Schedules E1, E1A, E2, E7,

1 and E10 for Northwest Florida (Marianna) and E1, E1A, E2, E7, E8,
2 and E10 for Northeast Florida (Fernandina Beach). They are
3 included in Composite Prehearing Identification Number CMM-3. We
4 have also prepared and filed Schedules E1 for our Consolidated
5 Electric division, Northwest division (Marianna) and Northeast
6 division (Fernandina Beach) with the special fuel surcharge
7 requested in Docket 050317-EI as Composite Prehearing
8 Identification Number CMM-5. Additional support for the surcharge
9 amount has been filed as Composite Prehearing Identification Number
10 CMM-4 (CONFIDENTIAL) as well as within this testimony and the
11 testimony filed in Docket No.050317-EI.

12
13 Schedule E1-B and E1-B1 for both Northwest Florida (Marianna) and
14 Northeast Florida (Fernandina Beach) were filed last month in
15 Composite Prehearing Identification Number CMM-2. These schedules
16 support the calculation of the levelized fuel adjustment factor for
17 January 2006 - December 2006. Schedule E1-B shows the Calculation
18 of Purchased Power Costs and Calculation of True-Up and Interest
19 Provision for the period January 2005 - December 2005 based on 6
20 Months Actual and 6 Months Estimated data.

21 Q. In derivation of the projected cost factor for the January 2006 -
22 December 2006, period, did you follow the same procedures that were
23 used in the prior period filings?

24 A. Martin: Yes, with the exception that we are now requesting one
25 consolidated electric Fuel Cost Recovery Clause and set of fuel
26 rates for both of our electric operating divisions. We are also
27 requesting permission, through Docket No. 050317-EI filed in May
28 2005, to include a fuel surcharge as an additional add-on to the
29 fuel factor to help minimize the significant future effects of fuel

1 contracts that are expiring at the end of 2007.

2 Q Why has the GSLD1 rate class for Northeast Florida (Fernandina
3 Beach) been excluded from these computations?

4 A. Martin: Demand and other purchased power costs are assigned to the
5 GSLD1 rate class directly based on their actual CP KW and their
6 actual KWH consumption. That procedure for the GSLD1 class has
7 been in use for several years and has not been changed herein.
8 Costs to be recovered from all other classes are determined after
9 deducting from total purchased power costs those costs directly
10 assigned to GSLD1.

11 Q. How will the demand cost recovery factors for the other rate
12 classes be used?

13 A. Martin: The demand cost recovery factors for each of the RS, GS,
14 GSD, GSLD, GSLD1 and OL-SL rate classes will become one element of
15 the total cost recovery factor for those classes. All other costs
16 of purchased power will be recovered by the use of the levelized
17 factor that is the same for all those rate classes. Thus the total
18 factor for each class will be the sum of the respective demand cost
19 factor and the levelized factor for all other costs.

20 Q. Please address the calculation of the total true-up amount to be
21 collected or refunded during the January 2006 - December 2006.

22 A. Martin: We have determined that at the end of December 2005 based
23 on six months actual and six months estimated, we will have under
24 recovered \$285,297 in purchased power costs in our Consolidated
25 Electric division. We will have under-recovered \$702,270 in
26 purchased power costs in our Northwest Florida division (Marianna).
27 In our Northeast Florida division (Fernandina Beach) we will have
28 over-recovered \$416,973 in purchased power costs.

1 Based on estimated sales for the period January 2006 - December
2 2006, it will be necessary to add .04204¢ per KWH to collect this
3 under-recovery in our Consolidated Electric division during the
4 January 2006 - December 2006 period (excludes GSLD1 customers).
5 For informational purposes, Northwest division's (Marianna)
6 separate factor would have been to add .21568¢ per KWH to collect
7 the under recovery, and Northeast division's (Fernandina Beach)
8 separate factor would have been to subtract .11814¢ per KWH
9 (excluding GSLD1 customers) to refund the over recovery. Page 3 and
10 of Composite Prehearing Identification Number CMM-3 and page 3
11 of Composite Prehearing Identification Number CMM-6 provides a
12 detail of the calculation of the true-up amounts.

13 Q. What are the final remaining true-up amounts for the period January
14 2004 - December 2004 for both divisions?

15 A. Martin: For our Consolidated Electric division, the final remaining
16 true up amount was an under-recovery of \$1,433,132. In our
17 Northwest division (Marianna) the final remaining true-up amount
18 was an under-recovery of \$966,951. The final remaining true-up
19 amount for our Northeast division (Fernandina Beach) was under-
20 recovery of \$466,181.

21 Q. What are the estimated true-up amounts for the period of January
22 2005 - December 2005?

23 A. Martin: For our Consolidated Electric division, the estimated true
24 up amount was an under-recovery of \$735,918. In our Northwest
25 Florida division (Marianna) the estimated true-up amount was an
26 under-recovery of \$246,528. The estimated true-up amount for our
27 Northeast Florida division (Fernandina Beach) was under-recovery of
28 \$489,390.

29 Q. What are the total true-up amounts to be collected or refunded

1 during the period January 2006 through December 2006?

2 A. Martin: In our Consolidated Electric division, there is an
3 estimated under recovery of \$285,297. In our Northwest Florida
4 division (Marianna), there is an estimated under-recovery of
5 \$702,270. The Northeast Florida division (Fernandina Beach) has an
6 estimated over-recovery of \$416,973.

7 Q. What will the total fuel adjustment factor, excluding demand cost
8 recovery, be for the Consolidated Electric division and for
9 informational purposes, both separate divisions for the period?

10 A. Martin: For our Consolidated Electric division, the total fuel
11 adjustment factor as shown on Line 43, Exhibit CMM-6, Schedule E1,
12 is 2.278¢ per KWH. In the Northwest Florida division (Marianna) the
13 total fuel adjustment factor as shown on Line 33, Exhibit CMM-3,
14 Schedule E1, is 2.819¢ per KWH. In the Northeast Florida division
15 (Fernandina Beach) the total fuel adjustment factor for "other
16 classes", as shown on Line 43, Exhibit CMM-3, Schedule E1, amounts
17 to 1.857¢ per KWH.

18 Q. What will the total fuel adjustment factor, excluding demand cost
19 recovery be for the Consolidated Electric division and for
20 information purposes; both separate divisions for the period if the
21 fuel surcharge is approved (Docket No. 050317-EI) and allowed to be
22 added to the fuel adjustment factor in 2006.

23 A. Martin: If the fuel surcharge is approved and allowed, the total
24 fuel adjustment factor for the Consolidated Electric division as
25 shown on Line 43, Exhibit CMM 5, Schedule E1, is 2.532¢ January
26 2006 through June 2006 and is 2.804¢ July 2006 through December
27 2006. The fuel adjustment factor for the Northwest Florida division
28 (Marianna) as shown on Line 33, Exhibit CMM5, Schedule E1 is 3.074¢
29 January 2006 through June 2006 and is 3.346¢ July 2006 through

1 December 2006. The fuel adjustment factor for the Northeast Florida
2 division (Fernandina Beach) as shown on Line 43, Exhibit CMM5,
3 Schedule E1 is 2.111¢ January 2006 through June 2006 and is 2.383¢
4 July 2006 through December 2006.

5 Q. Please advise what a residential customer using 1,000 KWH will pay
6 for the period January 2006 - December 2006 including base rates,
7 conservation cost recovery factors, and fuel adjustment factor and
8 after application of a line loss multiplier.

9 A. Martin: For our Consolidated Electric division, a residential
10 customer using 1,000 KWH will pay \$64.79, a decrease of \$4.76 in
11 our Northwest Florida division (Marianna) from the previous period,
12 and an increase of \$2.58 in our Northeast Florida division
13 (Fernandina Beach). For information purposes, if the separate fuel
14 factors were used then in our Northwest Florida division (Marianna)
15 a residential customer using 1,000 KWH would have paid \$71.48, an
16 increase of \$1.93 from the previous period. In our Northeast
17 Florida division (Fernandina Beach) a customer would have paid
18 \$58.97, a decrease of \$3.24 from the previous period.

19 Q. Please advise what a residential customer using 1,000 KWH will pay
20 for the period January 2006 - December 2006 including base rates,
21 conservation cost recovery factors, and fuel adjustment factor and
22 after application of a line loss multiplier if the fuel surcharge
23 is approved.

24 A. Martin: If the surcharge is allowed and added to the cost of fuel
25 for our Consolidated Electric division, a residential customer
26 using 1,000 KWH will pay \$67.39 from January 2006 through June 2006
27 and they will pay \$70.18 from July 2006 through December 2006. For
28 informational purposes if separate fuel factors were used with the
29 surcharge added, a residential customer using 1,000 KWH would pay .

1 \$74.09 from January 2006 through June 2006 and would pay \$76.88
2 from July 2006 through December 2006 in our Northwest Florida
3 division (Marianna). In our Northeast Division (Fernandina Beach),
4 a residential customer using 1,000 KWH would pay \$61.58 from
5 January 2006 through June 2006 and would pay \$64.37 from July 2006
6 through December 2006.

7 Q. You have included a fuel surcharge in the fuel adjustment factor.
8 Could you explain that?

9 A. Bachman: Yes. Since the Company does not have any generating
10 capability we purchase all of the power which we provide customers.
11 Currently we have contracts to purchase power from JEA and the
12 Southern Co. ("Gulf Power"). Both of these have very favorable
13 rates which have benefited our customers for the past 8 years; in
14 fact, the contract rates are significantly below current market
15 rates. Both of these contracts expire on December 31, 2007, and we
16 know that there will be a sharp increase in power costs so we have
17 proposed a surcharge to be added to the adjustment factor to
18 mitigate those expected sharp increases.

19 Q. How would this surcharge be implemented?

20 A. Martin: The surcharge would be added to the cost of fuel for two
21 years and when the new contracts are effective the accumulated
22 amounts would be credited back to customers over a three-year
23 period.

24 Q. Would there be a separate account for the surcharge?

25 A. Bachman: All of the revenue collected from the surcharge would be
26 held in an interest bearing account and all of the accumulated
27 amounts plus interest would be flowed back to the customers. The
28 Company will not receive any of these revenues and the accumulated
29 surcharge would not be part of the working capital.

- 1 Q. How will this benefit customers?
- 2 A. Bachman: We know that there will be a sharp increase in the fuel
3 adjustment factor beginning January 1, 2008 and this proposal would
4 mitigate that increase. By collecting the surcharge now and
5 incurring the additional interest and then crediting these amounts
6 back to customers the increase can be phased in and we can mitigate
7 the rate shock to our customers.
- 8 Q. What is the amount of the surcharge for 2006 that has been added to
9 the fuel rates?
- 10 A. Bachman: Effective January 1, 2006, the Company will add a
11 surcharge of \$.00254 per kWh to the cost of fuel. Effective July
12 1, 2006, the Company will add a surcharge of \$.00526 per kWh to the
13 cost of fuel. This surcharge has been incorporated into our
14 requested fuel rates and schedules.
- 15 Q. Have you entered into new contracts that result in these amounts?
- 16 A. Bachman: No, we do not have the final contracts in place at this
17 time.
- 18 Q. What is the status of those contracts?
- 19 A. Bachman: We are reviewing and analyzing proposals at the present.
- 20 Q. Explain the process you established.
- 21 A. Bachman: We began looking at our options several months ago. We
22 recognize the importance of these contracts and we involved
23 Christensen Associates to assist in looking at our options and
24 helping with the RFP and negotiations. With their help, we invited
25 interested parties to provide proposals and we received a number of
26 responses and those are being evaluated. We expect to have
27 discussions with several of the responding parties and our
28 objective is to negotiate the most favorable contract that we can
29 for our customers.

- 1 Q. When will that be completed?
- 2 A. Bachman: Probably sometime in 2006.
- 3 Q. What is the basis for the surcharge you have proposed?
- 4 A. Bachman: We have detailed projections supporting expected future
5 price increases that more than justify the use of these
6 conservative fuel surcharge factors. Since we are still in the
7 process of negotiations for fuel contracts, our future fuel
8 expectations are confidential in nature. We have provided this
9 projection on a confidential basis, as Exhibit _____ (CMM-4). We
10 feel there is sufficient evidence to support the use of this
11 surcharge in 2006. Even without finalization of our fuel contracts
12 and completion of the bidding process, we are able to estimate what
13 market fuel costs are expected to be in the future, and fuel costs
14 are expected to be well above the amount of our requested 2006
15 surcharges. Since the surcharge is a gradual increase and a phase
16 in of the future expected price increases, the surcharge for 2006
17 is appropriate and is expected to provide for a gradual increase in
18 the fuel costs to our customers.
- 19 Q. Have you requested approval of this proposal in a separate
20 petition?
- 21 A. Martin: Yes, we have. We have filed a petition and testimony for
22 approval of the surcharge in Docket No. 050317-EI but we think it
23 appropriate to consider it in this docket since it is a component
24 of the fuel adjustment factor.
- 25 Q. You mentioned that you used Christensen Associates to assist in
26 this process. Have those costs been included in the calculation of
27 the proposed fuel adjustment factor?
- 28 A. Martin: Yes, they have.
- 29 Q. Should the Commission allow FPUC to recover fees paid to

1 Christensen Associates to perform FPUC's request for proposals for
2 wholesale capacity and energy commencing 2008 and develop a rate
3 smoothing surcharge for 2006 and 2007?

4 A. Martin: Yes. As I discussed, FPUC retained the consulting group,
5 Christensen Associates, to develop and manage the bidding process
6 for power supply beginning in 2008 for FPUC's electric operations.
7 This process organized by our consultants is a highly structured
8 process that casts a wide net in search of the best overall power
9 supply arrangement for our retail customers. The level of interest
10 in, and market response to, the Company's RFP has been good and, as
11 intended, a substantial level of contestability has developed. Our
12 company is not large enough to have this type of resource on staff
13 and the experience, knowledge, and expertise that they contribute
14 to the process helps us to obtain more favorable results. If we
15 were to expand our staff to include similar resources, the customer
16 impact would be great.

17 Q. How do the customers benefit from your use of the consultants?

18 A. Martin: By using a consultant in this process, we are able to
19 supplement our in-house resources with the experience and knowledge
20 the consultants have of the broad process. We believe that having
21 this resource available to us will result in a more favorable power
22 supply arrangement. Any reduction in the cost of fuel over the
23 life of the contract benefits the customers. For example, a \$.0001
24 per kWh reduction in the cost of fuel results in savings of over
25 \$400,000 in just five years and this well exceeds the cost for the
26 consultant in this process. We feel that the savings will be much
27 greater than this over the life of contracts through lower fuel
28 prices.

29 Q. Couldn't you negotiate new contracts with Company resources?

1 A. Martin: We could, but the market now is very different than it was
2 when the current contracts were negotiated and there may be more
3 options available to us now than there were then. Having the
4 advice and assistance of consultants who work with this process
5 more frequently strengthens our efforts and enhances our ability to
6 obtain contracts favorable to our customers.

7 Q. Are these consultant's costs included in your base rates?

8 A. Martin: No. These costs have not been recovered through our base
9 rates as they directly relate to the fuel and fuel costs. Since
10 these costs directly relate to our fuel costs and will likely
11 result in lower fuel costs to the customers, they are appropriate
12 to recover through the fuel cost recovery clause. These costs are
13 not the normal procurement and administrative costs that would be
14 associated with ongoing fuel purchases. It is possible upon award
15 of our new fuel contracts that administrative personnel will be
16 needed to manage and procure our fuel on an ongoing recurring
17 basis; however, we cannot determine whether this will be necessary
18 with our new fuel contracts at this time. The costs for the
19 services of Christensen Associates are nonrecurring special costs
20 associated directly with the cost of fuel and these probably would
21 not have been allowed for recovery through base rates since they
22 would not be in the test year and would not be recurring
23 expenditures. To disallow the recovery of these costs would
24 penalize the Company for acting in a prudent manner on behalf of
25 the customers for savings in their fuel costs.
26 If the Commission feels it would be more appropriate to recover
27 these costs through base rates, we would like to request permission
28 to defer these until our next rate proceedings and amortize the
29 costs at that time with the associated recovery of the costs.

1 Q. The audit report of the Fuel and Purchased Power Cost Recovery
2 Clause conducted by Staff contained a disclosure regarding payments
3 to Gulf Power for a transformer agreement that commenced in
4 November 2004. Can you explain that agreement?

5 A. Cutshaw: Yes. As previously discussed, FPUC currently purchases
6 all wholesale capacity and energy from Gulf Power/Southern Company
7 for the Northwest Division. At each of the delivery points, Gulf
8 Power provides all transmission, substation and transformer
9 facilities and associated equipment. FPUC only provides the
10 distribution facilities at each delivery point. In 2004,
11 additional facilities were needed to service a new "Family Discount
12 Distribution Center" and FPUC and Gulf Power entered into an
13 amendment to the current contract where Gulf Power provides a
14 transformer and associated equipment necessary to establish an
15 additional delivery point at our Marianna substation. The terms of
16 the five year agreement calls for Florida Public Utilities Company
17 to pay Gulf Power \$3,678 a month commencing November 2004. The
18 "South Marianna delivery point" was constructed to match the
19 facilities at the other delivery points in order to maintain the
20 integrity of the current contract.

21
22 Based upon the fact that the new transformer and associated
23 equipment at the "South Marianna delivery point" are owned and
24 operated by Gulf Power Company who currently provides wholesale
25 capacity and energy, it seems reasonable that these costs to FPUC
26 should be included for recovery through the fuel clause. Since
27 this delivery point was not included in the existing wholesale
28 power contract and was not included in the development of those
29 rates, it was determined that the cost to provide power to this

- 1 delivery point was not justified by the current contract price.
- 2 This resulted in the necessity for a facilities charge being added
- 3 to the current contract energy cost.
- 4 Q. Does this conclude your testimony?
- 5 A. Martin, Bachman, and Cutshaw: Yes.

1 BY MR. HORTON:

2 Q. Now, with respect to all four of you with
3 respect to the fuel cost recovery and phase-in plan, have
4 you prepared and prefiled direct testimony in that
5 proceeding, or in this proceeding?

6 A. (By Ms. Martin) Yes, we have.

7 Q. Do you have any changes to make to that, to your
8 portion of that testimony?

9 A. Yes. The surcharge factor has been updated to
10 reflect a consolidated factor as shown in the 01 testimony
11 filed on September 9th, and those factors have also been
12 changed to two factors per year to allow a more gradual
13 increase.

14 Q. With that clarification, if I were to ask you
15 the questions contained in that testimony today, would
16 your answers be the same?

17 A. Yes, they would.

18 MR. HORTON: Mr. Chairman, I would request that
19 the prefiled testimony, fuel cost recovery and phase-in
20 plan, be inserted into the record as though read.

21 CHAIRMAN BAEZ: All right. Now, before I do
22 that, this is the testimony that you're referring to,
23 Ms. Christensen?

24 MS. CHRISTENSEN: I believe this is the
25 testimony that I'm referring to. It's panel testimony,

1 but it does not identify which individuals are responding
2 to the individual questions.

3 CHAIRMAN BAEZ: And how are we going to address
4 that, Mr. Horton?

5 MR. HORTON: Questions with respect to a
6 discussion of the company historical data, historical
7 arrangements, the concepts for the proposal that we've
8 presented, design principles, and efficiencies of the
9 proposal should be directed to Mr. Bachman. And when
10 you're asking -- if you've got questions with respect to
11 the markets, market expectations, projections, outlook for
12 the fuel prices, calculations, that would be Mr. Camfield.
13 And Ms. Martin may also have some responses to the
14 calculations. And I think our testimony pretty much
15 follows in that line.

16 CHAIRMAN BAEZ: Ms. Christensen, to the extent
17 that you're referring to questions in the prefiled
18 testimony directly, you can -- we can try and ascertain
19 who was responsible for the response ahead of time. It's
20 going to be a little messy, I know, but if we're going to
21 get this testimony, or if we're going to get this part of
22 the hearing in, I think we have to shift on the fly on
23 this one.

24 MS. CHRISTENSEN: Well, I'll do the best that I
25 can, sir.

1 CHAIRMAN BAEZ: No, that's fine. We all will.
2 Very well. Without objection, show the direct
3 testimony of Bachman, Martin, Cutshaw, and Camfield
4 entered into the record as though read.
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

**DIRECT TESTIMONY
OF
GEORGE BACHMAN
CHERYL MARTIN
MARK CUTSHAW
ROBERT CAMFIELD**

IN

FLORIDA PUBLIC UTILITIES COMPANY

**PETITION OF
FLORIDA PUBLIC UTILITIES COMPANY**

FUEL COST RECOVERY AND PHASE-IN PLAN

1 **Q. Please state your name, title, and business address.**

2 A. Witness Bachman. My name is George Bachman. I am the Chief Financial
3 Officer and Treasurer of Florida Public Utilities Company. My business
4 address is 401 South Dixie Highway, West Palm Beach, Florida, 33401.

5 Witness Martin. My name is Cheryl Martin. I am Controller for Florida Public
6 Utilities Company. My business address is 401 South Dixie Highway, West
7 Palm Beach, Florida, 33401.

8 Witness Cutshaw. My name is Mark Cutshaw. I am the Director of the
9 Northwest Florida Division for Florida Public Utilities Company. My business
10 address is 2825 Pennsylvania Avenue, Marianna, Florida 32447.

11 Witness Camfield. My name is Robert Camfield. I am a Vice President with
12 Christensen Associates Energy Consulting LLC (CAEC). My business address
13 is Suite 700, 4610 University Avenue, Madison, Wisconsin, 53705.

1 **Q. What is the scope of your testimony?**

2 A. The scope of our testimony is twofold. First, we provide evidence in support of
3 the costs of power supply (generation and transmission services) of Florida
4 Public Utilities Company (FPU or Company), for use in determining the retail
5 price of the Company's fuel cost recovery mechanism. Second, our testimony
6 presents the Company's proposed phase-in of costs associated with sharply
7 higher power supply costs beginning in January 2008, as anticipated. In the
8 course of presenting the proposed phase-in plan, we review current conditions
9 of wholesale power markets and the implications for power procurement; and
10 we present the Company's overall procurement strategy.

11

12 **Q. Please review your professional background and experience that qualifies**
13 **you to provide such recommendations.**

14 A. Witness Bachman. I have Bachelor of Science Degree in Business
15 Administration from Indiana University in 1981, with a concentration in
16 Accounting. I subsequently joined Southeastern Public Service Company, and
17 served as the Assistant Controller at the time of my departure in January 1985,
18 when I joined Florida Public Utilities Company. My positions through 1998
19 included General Accounting Office Manager, Accounting Manager, and
20 Controller.

21

22 In 1999 I was appointed to my current position, Chief Financial Officer and
23 Treasurer of Florida Public Utilities Company. As the senior financial and
24 accounting official of the Company I have overall fiduciary responsibility and
25 oversee the accounting and finance department with all related functions. The

1 accounting and finance staff maintains the accounting systems and carries out
2 day-to-day functions such as revenue accounting, cost accounting, cash
3 management, tax accounting, and payroll. Our area maintains the financial
4 records of the Company and reports financial results. The accounting and
5 finance department is also responsible for various studies in support of
6 accounting activities, such as determination of depreciation rates. As Chief
7 Financial Officer, I represent the Company before the investment community
8 including investment and commercial banks. Finally, I am responsible to the
9 Chief Executive Officer for the development of financial policy, and I am
10 involved in determination of overall business strategy at the highest level.

11

12 I have been an expert witness in numerous fuel, purchased gas, and rate relief
13 proceedings before the Florida Public Service Commission for electric, gas, and
14 water.

15

16 Witness Martin. I have been employed by FPU since 1985 and I have worked
17 within numerous accounting functions Company. I assumed the position of
18 Corporate Accounting Manager in 1995. In this position, I managed the
19 Corporate Accounting Department including regulatory accounting (Fuel, PGA,
20 conservation, rate cases, surveillance reporting, and general regulatory
21 reporting), tax accounting, external reports, and various special projects. In
22 January 2002, I assumed the position of Controller of the Company where, in
23 addition to the above duties, I also have responsibilities in purchasing, general
24 accounting, and Securities and Exchange Commission (SEC) reporting. I have
25 been an expert witness in numerous proceedings on behalf of FPU before the

1 Florida Public Service Commission (FPSC), including rate relief in Docket
2 Numbers 881056-EI, 930400-EI, and 030438-EI for retail electricity service,
3 and 900151-GU and 940620-GU for retail natural gas service. I graduated from
4 Florida State University in 1984 with a Bachelor of Science degree in
5 Accounting. I am a Certified Public Accountant in the State of Florida.

6
7 Witness Cutshaw. I joined FPUC in May 1991 as Division Manager in the
8 Marianna Division. In 2001, my title was changed to Director, Northwest
9 Florida. My work experience and responsibilities at FPUC include all aspects
10 of budgeting, customer service, and operations and maintenance in the
11 Marianna/Northwest Florida Division. In 2003 – 2004, I testified before the
12 Florida Public Service Commission in Docket 030438-EI on rate design and
13 related matters. In 1993, I participated in the Cost of Service study for the
14 Marianna Division Rate Case Filing and testified during the proceeding. I have
15 also been involved with numerous proceedings and matters of Florida Public
16 Utilities Company before the Commission, including filings, audits, and data
17 requests for the FPSC. I graduated from Auburn University in 1982 with a B.S.
18 in Electrical Engineering and began work with Mississippi Power Company in
19 June 1982. I left Mississippi Power Company in May, 1991 while in the
20 position of Supervisor, Electric Operations. While at MPC, I was involved in
21 the budgeting, operations and maintenance activities in the Hattiesburg, Laurel
22 and Pascagoula Districts.

23
24 Witness Camfield. I am a graduate of Interlochen Arts Academy, and hold a
25 Bachelor of Science Degree in Business Administration from Ferris State

1 University with an emphasis in Management, graduating in 1969. I earned a
2 Master of Arts Degree in Economics at Western Michigan University in 1975,
3 with a concentration in Monetary Theory and Policy. I joined the Michigan
4 Public Service Commission in 1976 as a staff economist. During my tenure
5 with the Michigan Commission, I was involved in several retail electricity and
6 natural gas pricing issues, and I testified in several rate case proceedings
7 regarding cost of capital and retail gas prices. I joined the New Hampshire
8 Public Service Commission in 1979 as the senior economist, and held the
9 position of chief economist beginning in 1981. In these positions, I was
10 responsible for the development, administration, and training of the economics
11 staff. I oversaw economic analysis and the development and delivery of
12 testimony, and provided policy advice to the Commission on a variety issues
13 such as construction work in progress, financial planning, and the determination
14 of PURPA Section 133 rates. I joined Southern Company in 1983, and held
15 positions in several departments including Pricing and Economic Analysis at
16 Georgia Power Company, Costing Analysis at Southern Company Services, and
17 Southern Company's Strategic Planning Group. In 1994, I joined Laurits R.
18 Christensen Associates, Inc. as senior economist, and currently hold the position
19 of Vice President. My experience covers a gamut of issues facing regulated
20 industries. I have represented agency staff, consumer advocates, independent
21 generation companies, utilities, and transmission companies before nine
22 regulatory agencies regarding cost of capital, cost benchmarking, forecasts of
23 electricity demand, retail rates, cost of service allocation, generation planning,
24 and transmission issues. I have been involved in the negotiation of power
25 supply contracts and the terms for franchise licenses. My overseas assignments

1 are several, and I recently managed a large market restructuring project in
2 Central Europe. I have served on national and regional advisory panels, and I
3 have advised electric companies on numerous policy and technical issues.
4 Innovations include two-part tariffs for transmission services, web-based self-
5 designing retail electric products, marginal cost-based cost-of-service methods,
6 and efficient pricing of distribution services. I have published chapters in
7 books, reports, and articles in noted journals such as *The Electricity Journal*,
8 *CIGRE*, and *IEEE Transactions on Power Systems*. Currently, I am the
9 Program Director of EEI's Market Design and Transmission Pricing School.
10 My resume, including the list of formal appearances before regulatory agencies,
11 is attached.

12
13 **Q. Can you please review the market context and situation of Florida Public**
14 **Utilities Company?**

15 A. Yes. The electricity business unit of Florida Public Utilities Company is a
16 distribution utility that serves two retail markets of northern Florida. These
17 markets are referred to as the Northeast and Northwest divisions. During 2004,
18 the Northeast division, also known as Fernandina Beach, served 15,100
19 customers with gross electricity sales of 449,464 MWh. The Northwest
20 division, also known as Marianna served 15,000 customers with gross
21 electricity sales of 316,884 MWh.

22

23 The Northeast division distribution system is interconnected with JEA (formerly
24 the Jacksonville Electric Authority) transmission network at one delivery point

1 with 150,000 kVA of transformer capability and 138 kV primary feeders. The
2 Northwest division interconnects with Southern Company's transmission
3 network at five delivery points with 130,000 kVA of capability and 12.5 kV
4 primary feeders.

5
6 **Q. What are the Company's current arrangements for the power supply?**

7 A. Both divisions of the Company are wholly dependent upon external purchases
8 of generation and transmission (G&T) services to satisfy the needs of the
9 Company's retail markets. Accordingly, FPU has, for a number of years,
10 engaged in full requirements contracts for G&T services with suppliers in the
11 southeast region. Full requirements refers to an umbrella or package of services
12 covering the total loads of FPU, and includes energy (balancing or spot energy),
13 reserve service categories of regulation, spin, non-spin, and backup, ancillary
14 services of voltage support and black start, and the transmission services of
15 network transport services and transaction scheduling. Full requirements
16 services have been and are currently provided to FPU under long-term contracts
17 with JEA in the case of the Northeast division, and with Gulf Power Southern
18 Company (Gulf/SoCo) in the case of the Northwest division. Both contracts
19 date to 1997 and expire in December 2007. The Company is currently
20 implementing its strategy for power supply for 2008 and beyond. This involves
21 the recent release of the Company's all-source RFP.

22
23 **Q. Have the current contracts been favorable overall, and in the general**
24 **interest of the Company's retail customers?**

1 A. Yes. The current full requirements power supply arrangements have been
2 wholly successful. Both suppliers, JEA and Gulf/SoCo, have served Florida
3 Public Utilities Company and its retail electricity customers well from a broad
4 perspective including reliability, counterparty risk, and commercial terms of
5 sale. The contract terms and prices of the current contracts were negotiated in
6 good faith by the contracting parties within an environment of increasing
7 contestability in wholesale markets. The negotiation process resulted in
8 commercial terms that have been fair to the contracting parties including JEA,
9 Gulf/SoCo initially. However, wholesale prices rose substantially during 1998
10 and 1999, and with the exception of 2002, the terms have been generally
11 favorable to the Company in all years thereafter. It is useful to reference
12 Exhibit BMCC-5, which shows compiled day-ahead spot prices for energy for
13 the relevant regions of the North American Reliability Council regions include
14 the Southeastern Electric Reliability Council (SERC) and the Florida Reliability
15 Coordinating Council for individual months of the years 2000 – 2004. As
16 observed, these prices range from \$33 to \$49 for SERC and from \$43 to \$52 for
17 the FRCC over these years. A similar story is revealed for the early contract
18 years, in part due to a large and unanticipated run-up in short-term prices during
19 1998 and 1999. However, it is important to recognize that *ex post* comparisons
20 of spot prices with respect to contract prices agreed to at the start of a period
21 simply describe the outcome of events beyond the contracting parties' control or
22 influence. Ex post prices can reside outside the range of expectations held by
23 the counter parties at the time that the contracts were agreed to.

1 The Company's successful arrangements for power supply coupled with its cost
2 efficiency in distribution services mean that the retail customers of FPU have
3 enjoyed and continue to enjoy low-cost and reliable retail power services.
4 Indeed, Exhibit BMCC-6 shows that customers of Florida Public Utilities
5 Company currently enjoy about a 20% cost advantage with respect to peer
6 groups.

7

8 **Q. What is Florida Public Utilities Company's strategy for power supply**
9 **beyond December 2007?**

10 A. The Company has issued a *Request for Proposals for Wholesale Power Supply*
11 (RFP), and is in the midst of receiving and assessing offers to provide wholesale
12 power supply including generation and transmission services. The anticipated
13 offers by bidders will be assessed according to the dual objective of minimizing
14 prices and overall risks to retail consumers, where risks include price volatility,
15 delivery, and counterparty risks.

16

17 The Company is pursuing all possible avenues and measures to obtain the
18 lowest possible prices in order to sustain its competitive price advantage in
19 retail markets. The RFP is the first major step in the Company's transparent
20 and open procurement process. The procurement process is geared to building
21 contestability by facilitating the maximum level of bidder participation.
22 Accordingly, the Company's RFP has been delivered to a fairly large number of
23 suppliers that have expressed interest in responding to the RFP.

24

1 The procurement strategy is set up in a manner that provides the basis to
2 diversify risks by building a contract portfolio that includes multiple suppliers
3 and contract laddering for the two divisions. To this end, the RFP seeks to
4 obtain three types of offers to supply: Full Requirements, Partial Requirements,
5 and Energy Service (block energy). Bids will be assessed according to
6 objective, value-based criteria. Nonetheless, the full success of the RFP is
7 somewhat dependent upon the level of participation of bidders, and the offers
8 themselves.

9
10 The Company has been remarkably successful as a low-cost service provider,
11 particularly in view of the absence of potential scale economies at all levels and
12 areas of its operations. From the perspective of the RFP and power supply, the
13 Company is mindful of possible limits occasioned by its comparatively small-
14 sized electricity operations in terms of risk diversification. Also, the Company
15 remains concerned about the timing of the release of the RFP, which is taking
16 place at a time of high cost wholesale market prices. Thus, it is essential that
17 the term and the structure of the commercial terms of the resulting contract
18 match up with the overall market outlook at the time that power supply
19 contracts with winning bidders are finalized, and do so in a way that captures
20 benefits in the form of lower prices should wholesale prices subsequently
21 decline.

22
23 **Q. What are the likely results of the Company's power procurement process?**

24 A. It is likely that the contemporary conditions of electricity markets will translate
25 into sharply higher prices for generation and transmission services beginning in

1 2008. As we mentioned, wholesale electricity prices have risen to exceptionally
2 high levels since 2004. This contemporary experience affects expectations of
3 the future; that is, forward prices reflect commitments conditional upon
4 expectations of the future. In turn, expectations of future spot prices reflect
5 recent price experience of wholesale markets.

6
7 As with all forward markets including commodities, currencies, and financial
8 markets, expected electricity market conditions and spot prices are implicit in
9 market participants' willingness to supply (sell) and willingness to pay
10 (purchase) over future periods. That is, bids and offers reflect the expected
11 future short-run marginal costs/spot prices of the region as such costs/prices
12 reflect opportunity cost – essentially, the highest-valued use of resources,
13 otherwise known as market worth. As observed, prices of New York
14 Mercantile Exchange (NYMEX) futures (standardized forward contracts) for
15 delivery at various locations across the Eastern Interconnection as well as in the
16 West over the ensuing two or three years, are trading within the range of
17 roughly \$58 to \$75 per MWh. Not surprising, futures prices are lower during
18 off-peak months than during peak months. Also, futures contracts for off-peak
19 hours trade lower, ranging around \$40 per MWh. Of particular concern are the
20 high prices of off-peak periods, which are driven largely by exceptionally high
21 costs of primary fuels, the major input to the process of producing and
22 generating electricity, and to a lesser extent by the increased frequency that gas-
23 fired generators are on the margin.

24

1 **Q. What are the implications of high forward wholesale prices for retail**
2 **consumers?**

3 A. The implications for retail consumers are twofold. First, customers of Florida
4 Public Utilities Company face substantial likelihood of sharply higher retail
5 prices for power supply. While the Company is committed to obtaining the best
6 outcome from its procurement process, the resulting prices reflect the realities
7 of wholesale markets, and are properly incurred costs and wholly prudent in all
8 aspects. The higher prices of the succeeding contracts for power, as expected,
9 will bring the retail prices of the Company to an overall level that approaches
10 that of other service providers in the region. Nonetheless, the Company
11 believes that, through its efficient power procurement process and ongoing
12 business operations, it will remain the price leader within the Florida region
13 over the foreseeable future, particularly in view of the significant upward
14 pressure that higher primary fuel prices will have on all utilities within the
15 region and at the national level.

16
17 Second, under the current regulatory framework, retail prices will rise abruptly
18 when the new wholesale supply contracts come into force in January 2008. The
19 abrupt transition to the higher price level constitutes a needless and burdensome
20 shock to customers that can be eased with mitigating policy and action.

21 Transitioning to the high prices is an issue of vital importance to retail
22 consumers, and Florida Public Utilities Company wishes to enlist the assistance
23 of the Florida Public Service Commission. Through appropriate regulatory
24 policy, the Commission and the Company can help retail consumers to bridge
25 the ensuing and difficult timeframe.

1 **Q. What strategies are available to mitigate the abrupt change in wholesale**
2 **power costs on retail customers?**

3 A. As commonly recognized, sudden abrupt bill changes and volatility (variation)
4 is costly to consumers. While high prices are evidence of the contemporary
5 markets that we face, the Florida Public Service Commission and the Company
6 can take progressive action to largely mitigate what is likely to otherwise be a
7 clear-cut case of rate shock. To this end, the Company proposes to phase in the
8 impact of higher expected wholesale power costs to retail customers over the
9 2006 – 2010 timeframe. The effect of the phase-in plan is to soften the impact
10 of the large price rise on customer bills, as anticipated. In so doing, the overall
11 welfare of customers will be improved.

12

13 **Q. What are the design principles that underlie Florida Public Utilities phase-**
14 **in plan?**

15 A. The proposed phase-in plan and framework is premised on a central design
16 principle. That is, the recommended plan should improve welfare while also
17 satisfying a “*hold harmless*” constraint. In the immediate context, hold
18 harmless means that the retail customers of the Company are left indifferent in
19 money flows, regardless of the approach taken. That is, the plan is bill neutral
20 in terms of discounted money flows for customers as a whole. The proposed
21 phase in plan obtains improvements in overall welfare by mitigation/
22 elimination of rate shock while also satisfying hold harmless criteria.

1 **Q. What are the main elements of the proposed phase-in plan?**

2 A. The Company's proposed plan has several key features. First, the proposed
3 plan incorporates a *surcharge*, a special and temporary charge to retail
4 customers on fuel costs during the two years previous to the effective date of the
5 new contracts. The surcharge amount would be implemented in two steps
6 during these two years, 2006 and 2007. The second step, 2007, is somewhat
7 higher in absolute terms than the first step, 2006, as the surcharge ramps up and
8 approaches the anticipated contract prices, which are effective in early 2008.

9
10 The second feature is *interest accrual*. That is, the surcharge amounts accrue
11 interest monthly at 2.8 per cent interest, which is the current cost of commercial
12 paper. The total accrual amount including principal and interest accumulate in
13 an escrow account. The accumulated surcharge and interest should also be
14 excluded from the company's working capital for purposes of surveillance and
15 base rate making in order to hold the company harmless as well as customers.

16
17 The third feature of the plan is referred to as *flow-back credits*, where the
18 escrow balance at year-end 2007 is flowed back as credits (reductions) to the
19 retail charges for the new contracts, in three steps over the years 2008, 2009,
20 and 2010. The flow back credits diminish over time, with the amount of the
21 credit for 2008 greater than that of 2009, and with 2009 greater than that for
22 2010. The surcharge amounts, escrow accrual, and flow-back amounts are
23 subject to full accounting audits and checks, and review by the Florida Public
24 Service Commission.

1 The fourth feature of the Company's proposed plan is referred to as *within-*
2 *process adjustment and reconciliation*. That is, the surcharge amounts will be
3 adjusted as market expectations change, as actual energy sales deviate from
4 forecast sales, as offers are received, and as contracts for new power supply are
5 reached. Finally, we wish to mention that the baseline point used to determine
6 the surcharge amounts are, by design, out-of-market in order to preserve
7 incentive compatibility.

8
9 **Q. Given current expectations of the Company, please describe the surcharge**
10 **amounts and the implied revenue and escrow amounts obtained with the**
11 **proposed phase-in plan.**

12 A. The proposed surcharge amounts for 2006 and 2007 and the resulting revenues
13 and escrow balances are shown on pages 1 and 2 of Exhibit BMCC-1, for the
14 Northeast and Northwest divisions of FPU respectively. As shown for the
15 Northeast division (page 1), the 2006 surcharge is 0.644 cents per kWh, while
16 the surcharge for 2007 is 1.418 cents per kWh. These surcharge values are
17 applied to energy sales during the months of January – December of 2006 and
18 2007.

19
20 For the Northeast division, the surcharges revenues resulting from the
21 implementation of the phase-in plan are expected to be \$3,147,560 and
22 \$7,191,467 for 2006 and 2007, respectively, stated in nominal terms. With the
23 inclusion of the accrual of interest, the resulting escrow balance at December
24 2007 is expected to be \$10,560,025. As proposed, interest is compounded
25 monthly.

1 As mentioned above, the escrow amount is flowed back as a credit to customer
2 bills during 2008 – 2010. The flow back credit amounts received by customers
3 are equal to \$5,586,226 during 2008, \$3,338,752 during 2009, and \$1,995,523
4 in 2010. Escrow balances accrue interest over the course of the flow back
5 period, 2008 – 2010.

6
7 The surcharge and flow back credits are less for the Northwest division because
8 of lower sales quantities and higher contract prices for power supply currently,
9 than for the Northeast division. Specifically, the 2006 surcharge is 0.321 cents
10 per kWh, while the surcharge for 2007 is 0.676 cents per kWh. The expected
11 surcharge revenues obtained by the phase in plan in the Northwest are
12 \$1,024,210 and \$2,196,775 for 2006 and 2007, respectively, stated in nominal
13 terms. With the inclusion of the accrual of interest, the resulting escrow balance
14 at December 2007 is expected to be \$3,291,077.

15
16 The escrow amount flowed back as credits to customers in the Northwest
17 division during 2008 – 2010 are equal to \$1,711,652 during 2008, \$1,049,566
18 during 2009, and \$643,623 in 2010.

19
20 **Q. Please describe the size the rate shock impacts facing customers absent the**
21 **phase in plan.**

22 A. As mentioned, the increases in prices are large without the implementation of
23 the phase in plan. Exhibit BMCC-1 page 3 shows the anticipated rate impacts
24 on customer bills beginning in the year 2008 without the presence of the plan.

25 As can be seen, the percentage change in the customer bills of residential,

1 commercial, and industrial consumers range from 22 to 78%. Abrupt change in
2 customer bills of these magnitudes are of major concern, and evidence of the
3 substantial burden placed on retail consumers in the absence of the phase in
4 plan.

5
6 In addition, the bill impacts differ significantly among customers and it is useful
7 to review the differential impacts. Without the phase in plan, customers of the
8 northeast division face significantly larger increases than customers of the
9 northwest division. This is because the current contract prices for wholesale
10 power supply for the northwest division are higher than the corresponding
11 prices for the northeast division. As observed, the percentage change in
12 customer bills range from 22% to 45% for the northwest division, whereas the
13 impacts for the northeast division are larger still, ranging from 35% to 78%. As
14 a general rule, the change in the electricity bills facing customers rises
15 progressively with an increasing share of the current bill composed of costs of
16 wholesale power. For this reason, the larger customers of the northeast division
17 in particular face very large bill impacts.

18
19 The bill impacts clearly demonstrate the need to phase in the costs of the
20 Company's new contracts.

21
22 **Q. Can you please elaborate on and briefly discuss fairness and efficiency**
23 **aspects of the proposed phase in plan?**

24 **A.** Yes. The proposed plan has both fairness and market efficiency aspects. From
25 a social efficiency perspective, the path of the phase in prices more closely

1 matches wholesale prices, which reflect societal marginal costs of power, over
2 the years of the surcharge, 2006 and 2007. Overall efficiency is improved and
3 the level of retail sales will be somewhat less than otherwise during these years.
4 Conversely, phase in prices experienced by consumers depart from wholesale
5 prices during the period of the flow back credits. Accordingly, retail sales
6 levels will be somewhat greater than otherwise during these latter years.

7
8 The first order welfare impacts of the proposed plan, measured as consumer
9 surplus and as reflected in expected electricity sales impacts, are significant for
10 individual years but small overall for the several years over which the plan is in
11 effect. However, our main concern and the purpose of the proposed phase in
12 plan is the benefits obtained by introducing a degree of gradualness in price
13 changes – essentially, second order benefits realized through of stability of
14 prices. By attenuating rate shock, a form of risk, the proposed plan reduces
15 harm caused by a sudden increase in prices. It is predominantly this reason
16 rather than market efficiency that underlies the Company's petition to the
17 Commission to implement the phase in plan as proposed.

18

19 **Q. Do customers prefer reduced risk, and does the phase-in plan add value?**

20 A. Yes. cursory observation, intuition and common sense, and formal empirical
21 evidence across a broad range of markets suggest that risk and uncertainty are
22 costly and that economic agents, both firms and households, prefer less risk all
23 other factors constant. A large number of examples of risk aversion in the
24 behavior of agents are readily available:

- 1 1. The comparatively large-scale participation and steady growth of futures
2 markets and over-the-counter forward contracts for wholesale
3 commodities including energy, agriculture, and metals, as well as the
4 steady expansion of the products that are traded forward.
5
- 6 2. The longstanding presence of comparatively long-term debt instruments in
7 financial markets, the growth in financial options including complicated
8 compound features.
9
- 10 3. The appearance of weather-related insurance to mitigate financial losses
11 attributable to crop damage, and insurance to guard against damaged
12 goods and cargo while in transit.
13
- 14 4. The growth in the volume of transactions in forward currency markets.
15
- 16 5. The expansion of consumer insurance markets beyond life, auto, and home
17 insurance categories and products. Insurance coverage is commonly
18 available for health, consumer electronics, boats, automobile repair and
19 service, tires, theft, and appliances. In addition, the range of coverage of
20 insurance menus and options has expanded vastly.
21
- 22 6. The appearance of forward retail contracts for home heating oil and
23 propane gas.

- 1 7. The vast expansion of specialized insurance products for business that
2 cover a broad range of contingency events such as physician malpractice,
3 and disability and physical incapacity for athletes and artists, as well as
4 insurance for highly valued art and musical instruments.
- 5
- 6 8. Strong consumer preferences for fixed-price open-quantity tariff design
7 for regular telephone service in lieu of measured service.
- 8
- 9 9. Equity share prices, as traded on major financial exchanges worldwide, are
10 ordered according to perceptions of risks. If equity A has equivalent
11 expected cash returns to capital but higher perceived risks vis-à-vis the
12 cash returns and risks of equity B, A will trade at market prices lower than
13 that of B. The lower prices of A provide the means for the realization of
14 higher expected market returns to shareholders of A than to the
15 shareholders of B, thus compensating for the higher risks implicit in
16 holding the shares of A.

17

18 Risk management mechanisms and insurance tools are the vehicles of markets
19 to mitigate risks and the costly effects of uncertain events associated with the
20 many aspects of business and life. In so doing, a broad spectrum of markets are
21 made more complete. A window to the expanding opportunities to hedge risk is
22 Robert Shiller's recent book entitled "The New Financial Order: Risk in the 21st
23 Century" published in 2003. The range of possible products and applications of
24 risk management principles is vast. The essential point is that there exists a
25 broad base of market experience to affirm the intuitive notion that risk is costly

1 and that economic agents are willing to compensate third parties willing to
2 assume the costly burden of and responsibility for risk. In short, agents prefer
3 less risk to more, and market processes can be expected to implement many new
4 innovations to mitigate risk.

5
6 **Q. What about retail electricity markets? Is there explicit evidence and**
7 **examples of risk aversion in the choices of consumers?**

8 A. Yes, examples of risk aversion behavior by participants in electricity markets
9 are readily at hand. For example, the fast expansion of fixed bill products at the
10 retail level, and the wide scale participation in financial and physical
11 transmission rights at the wholesale level are immediate examples. The fact that
12 fixed bill products, which hedge quantity risks, are typically offered at premium
13 prices suggests that many consumers are willing to pay higher *expected* prices
14 for the risk hedging features of fixed bill products. In essence, consumers make
15 value-improving choices, and by selection of premium-priced fixed bill options,
16 retail consumers can improve welfare. This means that, for those customers that
17 self select fixed bill products, the inherent quantity risks of the standard offer
18 tariff, as perceived, is more costly the price premium attending the risk
19 management feature of the option.

20
21 A second example of the costly nature of risk is the selection behavior of retail
22 customers that are confronted with bill-neutral time-of-day options. To a
23 substantial degree, customers prefer conventional non-varying price open
24 quantity tariffs, which are common and prevalent among retail tariffs of service
25 providers, to the TOU option. Generally, the TOU option is selected only when

1 customers are capable of substantially shifting load to the lower-priced off peak
2 periods – thus reducing the total electric bill – *or* where the customer bill on the
3 TOU option is somewhat below that of the conventional tariff, holding
4 quantities constant.

5
6 A third example is the self-selection of curtailable service load control options.
7 To a large extent, customers will only chose such options when they are
8 attended by rather substantial discounts in comparison with the firm service of
9 standard offer tariffs. Essentially, the uncertainty associated with non-firm
10 supply is costly, and sufficient discounts are necessary to obtain customer
11 participation in non-firm power supply.

12
13 **Q. What are the policy lessons and principles that we can draw from market**
14 **experience and the behavior of agents regarding risks?**

15 A. First, it is quite clear that risk is costly, and that the Commission and Florida
16 Public Utilities Company should take the necessary action to reduce risks in a
17 cost effective manner where possible. Second, the Commission should support
18 the Company's plan to phase in the anticipated higher prices for power supply.
19 In so doing, the Commission mitigates the costly impacts of rate shock, thus
20 improving the welfare of the retail customers of Florida Public Utilities
21 Company.

22
23 **Q. Is there precedent for the phase-in of sharply rising costs for power**
24 **supply?**

1 A. While the reasons, situation, and market context were unique to the earlier era, a
2 number of incumbent utilities phased in large-scale and costly base load power
3 plants during the 1980s. Utility sponsors and regulators allowed and fully
4 supported the phase-in of prudently incurred costs over several years in order to
5 ease the burden of what would have otherwise been serious rate shock events.

6
7 It is useful to mention that the situation during this previous timeframe is in
8 sharp contrast to that of the Florida Public Utilities Company in several
9 important respects. Back then, large-scale base load plants were the primary
10 cause of rate shock, and their utility sponsors had in several cases breached the
11 confidence of retail customers and regulators, as manifest in costly overruns of
12 construction budgets. As a result, the plants and their sponsors sometimes faced
13 serious regulatory issues related to the need for additional resources, technology
14 choice, and plant costs that were significantly out-of-market.

15
16 In contrast, the situation of the Company contains none of these issues. Rather,
17 Florida Public Utilities Company faces higher costs simply because of the
18 contemporary realities of wholesale markets.

19
20 **Q. Would you please describe the workings of power markets in the Southeast,**
21 **and the implications for power procurement?**

22 A. Wholesale power markets were opened to new entrants with the passage of the
23 national Energy Policy Act of 1992. Provisions of the Act called for incumbent
24 transmission service providers, most of which were and continue to be vertically
25 integrated electric companies, to allow access to transmission networks to

1 buyers and sellers of wholesale power. Authority for implementation,
2 oversight, and enforcement of the wholesale electricity market provisions of the
3 Energy Policy Act was assigned to the Federal Energy Regulatory Commission
4 (FERC).

5
6 The market mechanisms and procedures for obtaining access to power networks
7 and scheduling wholesale transactions were not formalized, and the process was
8 encumbered by burdensome scheduling, procedural, and institutional
9 inefficiency. Arguably, accessibility to networks was effectively denied by
10 procedural burdens for several years. A defining moment in the organization of
11 wholesale markets was the Open Access Transmission Tariff as established in
12 1996. In April of that year, the FERC issued two landmark orders:

- 13 • Order 888, *Promoting Wholesale Competition Through Open Access*
14 *Non-discriminatory Transmission Services by Public Utilities and*
15 *Recovery of Stranded Costs by Public Utilities and Transmitting*
16 *Utilities; and,*
- 17 • Order 889, *Open Access Same-Time Information System (Formerly*
18 *Real-Time Information Networks) and Standards of Conduct.*

19 In addition to functionally separating the generation and transmission functions
20 and activities of incumbent utilities, these two companion orders define
21 categories of wholesale services, define the basis for determining the prices for
22 wholesale services, and set forth fairly definitive procedures regarding the
23 scheduling of wholesale transactions among control areas of the Nation's
24 transmission grid using web based services (OASIS).

1 While the FERC has authorized the further unbundling of wholesale markets
2 with the formation of ISOs and RTOs in California and the northern regions of
3 the Eastern Interconnection, FERC Orders 888 and 889 constitute the authority
4 for the conduct of power markets in much of the U.S. and under which a large
5 volume of short- and long-term power transactions occur.

6
7 The growth in wholesale market transactions has precipitated the
8 implementation of OASIS sites by service providers in order to facilitate the
9 scheduling of wholesale transactions. Also, regional markets have formed
10 commercial hubs at various locations and interfaces throughout the U.S. Hubs
11 play an important role in price discovery.

12
13 These various procedural mechanisms and market provisions serve to facilitate
14 and enable market processes. Buyers and sellers can engage in a variety of
15 near-term transactions using more-or-less standard market products such as
16 energy service and bundled packages of energy and transmission (including
17 reserves) for same-day and day-ahead hourly and 16-hour periods, as well as for
18 weekly and monthly peak-period and all-hours supply. Furthermore, market
19 participants can schedule long-term transactions across seasons and years. In
20 most regions, wholesale market participants are numerous and include rural
21 cooperatives, local distribution companies, power trading subsidiaries of
22 investor-owned utilities, trading authorities and merchant traders, merchant
23 generators, and municipalities. While nettlesome impediments to competition
24 remain wholesale electricity markets are reasonably contestable in most regions
25 and within most timeframes.

1 This wholesale market environment is quite suitable for competitive power
2 procurement, although serious challenges may be present in some areas and
3 locales because of accessibility to transmission and so-called "pancaked"
4 pricing of transmission services across multiple control areas. While these
5 issues are encumbering and are not to be minimized, buyers including local
6 distribution companies such as Florida Public Utilities Company, can organize
7 well-structured procurement processes and often obtain competitively priced
8 power supply.

9
10 **Q. What are your expectations regarding future electricity prices and the**
11 **reasons that underlie future price levels?**

12 A. The U.S. electricity industry has entered an era of sharply higher wholesale
13 prices for electricity beginning in late 2003. The contemporary high power
14 prices are a national phenomenon, and are a result of three main factors. First,
15 primary fuel prices including coal, natural gas, and oil have all risen to very
16 high levels. Current fuel prices are largely a result of a sudden and seemingly
17 sustained tightening of supply-demand balance for fuels; supply margins are
18 fairly tight and inventories are exceptionally low from time to time over recent
19 years in the case of natural gas and oil.

20
21 Second, transmission networks have experiencing substantially higher levels of
22 congestion in recent years, which is manifest as increased frequency in
23 transmission load relief (TLR) calls, and expanded differences in locational and
24 zonal prices for power. Third, the aggregate demand for electricity service, as
25 reflected in observed peak loads and energy consumption, has advanced over

1 the past three years to levels that better balance with and more fully utilize
2 generation supply. Fourth, and to a lesser extent, concerns about global
3 warming and other environmental considerations have caused the electricity
4 industry to increasingly embrace renewable resources, as evidenced by the
5 adoption of Resource Portfolio Standards policy in several regions of the U.S.
6 While renewable resources may reduce total emissions including sulfur dioxide
7 (SO₂), mercury (including elemental, vapor, and particulate bound
8 components), nitrogen oxides (NO_x), particulate matter, and carbon dioxide
9 (CO₂), such resources will raise the total costs of power supply, as far as the
10 internal and direct resource costs are concerned.

11
12 **Q. Please provide projections of future prices.**

13 A. Exhibit BMCC-2 presents a projection of spot power prices for the Southeast
14 region over the 2005 – 2012 timeframe. We include tables of average spot
15 prices for three timeframes including all-hours, peak periods, and off-peak
16 periods. These prices are a result of market simulations developed by CAEC
17 and used regularly to prepare forecasts of regional prices. The prices reflect
18 simulations of a range of possible market outcomes for energy, and the implicit
19 reserve services of regulation, spin, non-spin, and backup reserve categories.
20 The composite power prices are marginal cost-based prices for regions and
21 incorporate scarcity rents. However, the prices do not include black start or
22 reactive power, nor do they reflect the marginal cost of delivery services
23 including transmission network service, connections services, and scheduling.

1 While we have also developed prices for Florida, the North American Electric
2 Reliability Council (NERC) region known as the Florida Reliability
3 Coordinating Council (FRCC), we believe that the more relevant region for the
4 purposes herein is the NERC region known as the Southeast Electric Reliability
5 Council (SERC), which encompasses the states of Alabama, Georgia,
6 Mississippi, North Carolina, South Carolina, Tennessee, and Virginia, as well as
7 the southern and northeastern areas of Louisiana.

8
9 The regional price projections are developed by applying a structural analysis
10 approach to the markets represented by a so-called compressed SERC region.
11 The development of projected wholesale price involves projections in regional
12 economic activity, hourly loads for the region, the region's generation portfolio
13 including units under construction as well as possible new generators in the
14 future, and a range of possible future primary fuel prices. Exhibit BMCC-3,
15 pages 1 – 3, shows supporting details that underlie the wholesale market price
16 projections. Page 1 shows summer demand and generation capacity over the
17 2005 – 2012 timeframe for the compressed SERC region for low, moderate, and
18 high demand growth scenarios. Of particular interest are the capacity reserve
19 margins, where reserves stay tightly bundled around fifteen percent. These
20 reserve levels reflect expected reserves for the surrounding regions of the
21 Eastern Interconnection, and are not specific to SERC. Imposing non-SERC
22 specific reserves on the simulations for the SERC region is necessary in order to
23 reflect the natural behavior of power markets. Namely, regions that are a little
24 long in capacity or otherwise have cost advantages – and thus have
25 comparatively low marginal costs – will export power to regions that are

1 relatively short. Hence, it is appropriate to utilize non-SERC specific reserve
2 margins in the determination of the projections of regional power prices.

3
4 Exhibit BMCC-3 pages 2 – 3 contain the three scenarios of primary fuel prices
5 and generation expansion for the moderate demand case, respectively. Page 2
6 presents a plausible set of alternative long-term paths for primary fuel prices in
7 the Southeast over the 2008 – 2012 timeframe. These primary fuel price paths
8 are obtained through a combination of analysis and intuition, and represent a
9 combination of current forward prices converted to spot, as well as long-term
10 trends. The fuel prices are utilized to project future electricity prices, also for
11 the Southeast, and incorporate transportation costs as well as, in the case of
12 coal, the costs of environmental compliance for sulfur dioxide. It is worthwhile
13 to mention that SO₂ allowance prices have risen fourfold over the most recent
14 eighteen month period.

15
16 As observed, we expect that price pressure for primary fuels will ease
17 somewhat, before assuming the long-term path that roughly follows general
18 inflation. The scenarios of fuel prices reflect possible long-term paths of prices
19 and do not reveal the full range of short-term uncertainty and volatility inherent
20 to primary fuels.

21
22 The modeling approach develops hourly prices (marginal costs) for six day-
23 types for the months of each forecast year. The approach uses Monte Carlo
24 methods to determine generator downtime for maintenance and unit availability.
25 The approach obtains numerous realizations of prices/marginal costs for each

1 hour of the various day types. The day-type analyses are then mapped to the
2 various days of a weather normalized year, where the days of the year have been
3 categorized according to day type and month. The result is a range of possible
4 hourly prices. The prices embody implicit rents for scarcity, market power, and
5 various market inefficiencies and friction that cannot be otherwise explicitly
6 accounted for.

7

8 The modeling approach obtains prices for reserve services using optimization
9 techniques (linear programming methods), based upon assumed operating
10 parameters of generating units within the region.

11

12 As noted above, Page 1 of Exhibit BMCC-2 presents the expected value of
13 wholesale electricity prices over all hours, while page 2 presents the expected
14 prices for peak and off-peak hours. The projected prices are shown by month
15 and year. As can be seen, the analysis suggests that wholesale electricity prices
16 will generally recede from the current highs to levels of about \$55.00 per MWh,
17 and to then rise as primary fuel prices assume trajectories that conform with the
18 respective long-term historical path roughly equivalent to overall expected
19 inflation. Also, the long-term path reflects the gradual evolution in the
20 generator unit portfolio of the region. Model simulations suggest, and market
21 experience confirms, that as a general rule wholesale electricity prices are
22 higher during summer months than non-summer periods. Although not shown,
23 simulated and observed wholesale prices reveal higher variation (volatility) and
24 risk during summer periods than non-summer periods. This result follows from
25 the generally tighter supply margins of the summer, where unexpected demand-

1 side events (such as weather) and supply-side events (such as generating unit
2 and transmission line outages) translate into comparatively larger upside risk
3 than during non-summer periods. Also, summer wholesale market prices for
4 electricity can reveal distinct up-side skewness in the underlying statistical
5 distributions.

6

7 **Q. Please discuss the primary fuel prices and the outlook for fuels, as utilized**
8 **in the projected wholesale prices.**

9 A. In the case of coal, supplies are plentiful although rising demand for coal has
10 been precipitated by high natural gas prices. Essentially, coal and gas are
11 substitutes, with fairly substantial substitution elasticity. This means that
12 generation companies – mainly electric utilities – will tend to utilize coal-based
13 generation more intensively with rising prices for gas relative to coal. In
14 addition, the costs of transportation of coal from locations where it is extracted
15 to locations where it is consumed as fuel (coal-fired generators) has been
16 recently constrained as a result of bottlenecks in railroad lines in key locations,
17 of (as reported) some shortages of locomotives and coal cars and, we suspect,
18 the exercise of market power by major railroads in key areas of the U.S. Also,
19 there are reports that expanded U.S. coal exports are being used to produce steel
20 worldwide.

21

22 Natural gas supply in the U.S. is constrained in the short run because of limits of
23 economically viable wells and fields at market prices of less than \$3 – \$4
24 dollars per MCF (MMBTU) within the continental U.S. Second, inventories at
25 various locations in the U.S. have been limited such that, when coupled with

1 limited extraction capability, wholesale prices of natural gas can show high
2 sensitivity to short-run changes in demand and expectations of future weather
3 patterns and forecasts.

4
5 Unlike the difficult years of the 1970s, oil plays a rather insignificant role in
6 electricity supply currently, particularly in the Southeast, and thus need not be
7 considered in the context of the immediate issues at hand. Nonetheless, we
8 wish to mention in passing that oil prices are currently driven by steadily
9 increasing demand for transportation worldwide, mainly automobiles. Second,
10 the retail prices of oil-derived products such as fuel oil for heating are affected
11 by the apparent limits of refinery capacity in the U.S.

12
13 Pages 1 – 4 of Exhibit BMCC-4 present forward contracts for primary fuels for
14 deliveries over future months, as reported by NYMEX during late 2004. It is
15 important to recognize that *forwards* represent composite expectations of
16 traders, both hedgers and speculators, regarding future spot prices for fuels. In
17 essence, these forward prices suggest that traders in late '04 implicitly expected
18 high primary fuel prices to be present over the ensuing months. Page 4 of
19 Exhibit BMCC-4 presents coal price futures for deliveries during 2005 and
20 2006, as of February '05. As can be seen, the more current expectations reveal
21 somewhat lower coal prices prospectively, than that of late 2004.

22
23 It is useful to view the current high levels of primary fuel prices within the
24 context of long-term history. Accordingly, we present on pages 1 – 2 of Exhibit
25 BMCC-7 primary fuel prices for crude oil, coal, and natural gas for 1973 – 2004

1 period for the consideration of the Commission. As can be seen, while primary
2 prices are exceptionally high currently, such prices are not unprecedented.
3 Specifically, primary fuel prices reached current levels during the 1980 – 1984
4 timeframe, stated in real terms.

5
6 **Q. Please describe transmission congestion and the impact of congestion on**
7 **wholesale prices.**

8 A. Congested network facilities, including specific flowgates and key interfaces
9 among control areas, separate markets. Congestion raises prices for some areas
10 and lowers prices for others. Congestion is a particular issue for load centers
11 that are downstream from constrained flowgates and interfaces, such as the
12 various load centers of the Florida peninsula, as they now face higher costs for
13 wholesale services. Congestion along key flowgates and interfaces leads to the
14 realization of higher profits by downstream generators (constrained on) and
15 lower profits by upstream merchant generators (constrained off).

16
17 **Q. Please discuss supply-demand balance, reserve margins, and the effects of**
18 **reserve margins on wholesale prices.**

19 A. Supply-demand balance in the U.S. and Southeast is shown on page 2 of Exhibit
20 BMCC-5. As mentioned earlier, supply-demand balance has tightened
21 somewhat. In the case of electricity markets, changes in supply margins operate
22 together with the characteristic of non-storability to produce instances in which
23 small changes in supply margin often translate into fairly sizable impacts on
24 power prices. Overall for the Eastern Interconnection, we would guess that the
25 brief excess supply bubble of 2002 – 2003 is largely exhausted. And while the

1 current large-scale volume of wholesale transactions is not altogether new, it is
2 not as if the electricity industry has decades of experience; learning is a key
3 element of market experience and it is reasonable to opine that the bubble of
4 recent years is an infrequent phenomenon that will not be revisited often.

5
6 In summary, the supply-demand balance of markets is currently in approximate
7 long-run equilibrium with capacity reserve levels near 16%, perhaps a little
8 higher. For the present, we have no reason to expect overall capacity reserves
9 in the future to deviate much from this level over the long run, aside from
10 periodic variations largely attributable to random weather phenomena. One
11 thing that could change long-term optimal capacity reserve margins is a rise in
12 customer participation in reserve markets (curtailment programs) and other
13 demand response programs such as real-time pricing.

14
15 **Q. Please summarize your testimony and recommendations for the**
16 **consideration of the Commission.**

17 A. Florida Public Utilities Company takes very seriously, at the highest level, its
18 duty to provide continued and uninterrupted power supply to its retail customers
19 at reasonable cost. To this end, the Company is in the process of implementing
20 a least cost long-term procurement strategy for power supply beginning in 2008.
21 However, contemporary wholesale markets and market prices, in the Southeast
22 and nationally, reveal sharply higher costs for power as a direct result of a
23 roughly twofold increase in the costs of primary fuels, of increasingly
24 constrained networks, of a steady tightening of supply-demand balance and

1 reduced supply margins, and of environmental considerations being increasingly
2 manifest in policy at the regional and national level.

3

4 These market conditions are affecting expectations of market participants over
5 future years and, at this time, the Company and retail customers in all likelihood
6 will face and be burdened with sharply higher prices for power beginning in
7 2008.

8

9 FPU's retail prices will change abruptly under standard ratemaking mechanisms
10 of the current regulatory framework, and absent needed policy intervention by
11 the Florida Public Service Commission. Accordingly, it is both necessary and
12 appropriate for the Company, with the approval and full support of the
13 Commission, to phase in the much higher prices for power as anticipated. The
14 phase-in plan, as presented herein, has been designed in a manner that improves
15 consumer welfare by mitigating the rate shock that would otherwise occur. Our
16 phase-in plan contains important safeguards and features including interest
17 accruals, accounting audits, regulator checks, and the provision for changes as
18 market expectations evolve. Thus, the plan as proposed is in the general interest
19 of retail consumers and provides the Commission with the necessary level of
20 confidence that facilitates its approval and support.

21

22 **Q. Does this conclude your Direct Testimony?**

23 A. Yes.

1 MR. HORTON: And there are also --

2 CHAIRMAN BAEZ: Mr. Horton, I'm sorry. You were
3 going to talk about exhibits?

4 MR. HORTON: Yes, sir, I was.

5 CHAIRMAN BAEZ: All right. Just to cut it
6 short, I'm showing 21 through --

7 MR. HORTON: Twenty-one through 26 in the 01.

8 CHAIRMAN BAEZ: In the 01. And then 27 through
9 33?

10 MR. HORTON: Yes, sir.

11 CHAIRMAN BAEZ: Okay.

12 BY MR. HORTON:

13 Q. Do you have any corrections to make to any of
14 those exhibits?

15 A. (By Ms. Martin) No, we do not.

16 MR. HORTON: Then I would offer the exhibits.

17 CHAIRMAN BAEZ: They've been already marked?

18 MR. HORTON: Yes, sir.

19 CHAIRMAN BAEZ: Okay.

20 MR. HORTON: I want you to know I had a
21 brilliant opening statement, but I'm going to skip it.

22 CHAIRMAN BAEZ: You're going to forgo the
23 opening statement? You're scoring points already,
24 Mr. Horton.

25 MR. HORTON: And what we did agree,

1 Mr. Chairman, is that we would have one of the witnesses,
2 one of the panel members to summarize the testimony, and
3 Mr. Bachman would offer that summary.

4 CHAIRMAN BAEZ: Very well. Mr. Bachman?

5 MR. BACHMAN: Good afternoon, Commissioners.
6 Our testimony today will pertain to the fuel calculations
7 that are addressed by Witness Martin.

8 In addition to the normal items that go into
9 fuel calculations and projections, we've got three
10 unordinary items, which is primarily the reason for us
11 being here today, the first of which is a fuel surcharge.
12 And we kind of regret using the word "surcharge," but for
13 lack of another way of saying that, that will gradually
14 ease our fuel prices to market prices versus having a
15 dramatic increase at the beginning of '08.

16 The second item is recovery of expenses that
17 directly relate to obtaining new fuel contracts for 2008
18 and this phase-in program.

19 The third item centers around consolidating our
20 fuel rates for our two geographic areas to be consistent
21 with the one rate that we now have for base rates for all
22 electric customers.

23 The first item, the proposed surcharge, is a
24 result of a contract that was signed in 1996. It expires
25 at the end of 2007. This contract -- both of these

1 contracts have fixed prices. And what that translates to
2 today is prices for electricity that are substantially
3 less than the market price of electric. We estimate that
4 we will still have this substantial difference at the end
5 of '07.

6 The proposal is to gradually increase prices
7 over the contract prices for the next two years -- and at
8 the end of two years, our rates will still be
9 substantially lower than market -- and then over the next
10 three years, refund that collection with interest. The
11 net result is to prolong the benefit that we have on fuel
12 rates for five years, or an additional three years, versus
13 taking it all deeply discounted here in two years and
14 facing a dramatic increase in our fuel rates within 30
15 days. What we're asking for is approval in this, to have
16 the surcharge and to take this and extend to five years
17 our under-market rates for electricity.

18 The second item is, we're requesting recovery of
19 expenses that we have incurred and will incur to obtain
20 new fuel contracts and for developing this phase-in plan.
21 Due to the small size of our company and the complexity in
22 the fuel contracts today, we felt it best to have a
23 consultant with the expertise come in, conduct our request
24 for proposals, conduct the negotiations, and try to come
25 up with the best price possible for our customers starting

1 with '08. To disallow the expenses that we feel we've
2 prudently incurred we feel would penalize our company for
3 being prudent in trying to minimize the fuel costs that we
4 will have under contracts beginning in '08.

5 The third item is the consolidating of the two
6 geographic areas, as I've mentioned, for our fuel. This
7 would be consistent with how our base rates are set up.
8 We have one base rate for all electric. We've got one
9 conservation rate. And as far as I'm familiar with, the
10 other investor-owned utilities in the state all have one
11 rate for their electric customers.

12 This does benefit us to the point where, with a
13 larger base of customers, over 30,000 versus 15, it
14 averages out any shock of additional expenses that may be
15 incurred in one unique area. As opposed to isolating
16 those costs and having to recover it from 15,000
17 customers, you get an averaging effect, because you have a
18 larger pool of customers, and thereby it levelizes the
19 cost effect on individual customers.

20 We do recognize we are the smallest
21 investor-owned utility in the state. We do not have the
22 normal resources available to some of the larger
23 companies. And we do have some unique challenges because
24 of our size, and we do try to come up with solutions that
25 are fair to the customers as well as the company.

1 And that concludes my remarks.

2 MR. HORTON: The panel is available.

3 CHAIRMAN BAEZ: Ms. Christensen.

4 CROSS-EXAMINATION

5 BY MS. CHRISTENSEN:

6 Q. Good afternoon. I'm going to go ahead and
7 direct these questions I guess at Mr. Bachman, and then
8 I'll identify any of the other panel members as
9 appropriate, unless you're unable to answer the question,
10 and if you could direct me to whom would be more
11 appropriate.

12 A. (By Mr. Bachman) Sure.

13 Q. And I think maybe that will help make this run a
14 little bit smoother.

15 Now, Mr. Bachman, does FPUC have any of its own
16 generation?

17 A. No, it does no.

18 Q. So I'm correct that all of your power is
19 provided from third parties?

20 A. This is correct.

21 Q. Okay. And FPUC's customers pay for the
22 purchased power contracts through a fuel charge; correct?

23 A. Yes.

24 Q. And your current purchased power agreements have
25 fixed fuel components; correct?

1 **A.** That's correct.

2 **Q.** You anticipate that the future purchased power
3 contracts will flow through the cost of fuel for
4 generating the power at market prices; is that correct?

5 **A.** Could you rephrase that?

6 **Q.** Do you anticipate that when you enter into these
7 new contracts that the price of fuel will be passed on to
8 your customer at current market prices? That's what
9 you're anticipating; correct?

10 **A.** We are anticipating those prices will be within
11 the broad band of market prices, yes.

12 **Q.** Okay. And currently your rates are around the
13 mid 60s per thousand kilowatt-hours for both of your
14 divisions under the fixed price fuel purchase contracts;
15 am I correct?

16 **A.** Correct.

17 **Q.** Okay. And you anticipate when the new purchased
18 power contracts go into effect, your rates will increase
19 by approximately \$30 per thousand kilowatt-hours to around
20 the mid-90s, the mid-\$90 range? Am I correct in that?

21 **A.** That's correct.

22 **Q.** Now, is it true that the current contracts
23 expire December 31st, 2007?

24 **A.** Yes.

25 **Q.** And your proposal is to impose a surcharge over

1 the next two years to be flowed back over a three-year
2 period to offset the impact of the one-time \$30 increase
3 in January of 2008; am I correct? Is that a general
4 summary?

5 **A.** Flowed back with the interest, yes.

6 **Q.** Okay. So with interest collected, it would be
7 flowed back, but this is to mitigate that \$30 increase?

8 **A.** That's correct.

9 **Q.** Now, you would agree that the purpose of FPUC's
10 proposal is solely for the benefit of the customers from
11 the company's point of view?

12 **A.** I would say it's primarily for the benefit of
13 customers, and the company would benefit, I guess, through
14 PR, not having as many upset customers in January of '08,
15 so kind of an intangible benefit.

16 **Q.** Right. But this is not for the company's
17 financial benefit, is what you have --

18 **A.** That's correct.

19 **Q.** -- indicated in the past. And this rate shock
20 would result because under the current contracts, the fuel
21 cost component is fixed, but you expect that any contract
22 for purchased power will have a fuel provision that will
23 set the fuel prices at the market rate, so any future
24 contracts will set the prices closer to market rates.

25 **A.** I will have to defer to Witness Camfield.

1 **Q.** Mr. Camfield?

2 **A.** (By Mr. Camfield) Well, it depends upon the
3 contracts and the commercial terms of the contracts as
4 they are signed prospectively. And it's certainly
5 possible that the components -- the commercial terms would
6 have components that, yes, reflect current market elements
7 and prices as far as primary fuels are concerned, but not
8 necessarily. That is to say, we have current offers as
9 options before us that constitute fixed prices as well for
10 the 2008-2012 time frame.

11 **Q.** But those are going to more accurately reflect
12 current markets, correct, current market prices for gas?

13 **A.** Should I say that they reflect current
14 expectations by bidders about current prices.

15 **Q.** But you have -- Mr. Camfield, am I correct in my
16 understanding that you have not signed any contracts for
17 purchased power in 2008?

18 **A.** That's correct.

19 **Q.** Okay. And would you agree that the surcharge
20 rate is based on FPUC's estimate of the future market fuel
21 costs in the 2008 through 2010 time frame?

22 **A.** We're at a point in the RFP process where we're
23 reaching closure, and it's quite possible that we will
24 have firm prices reflecting the prospective contracts to
25 use in the development of the surcharge plan.

1 **Q.** But currently, as the surcharge plan is
2 proposed, you anticipate -- your anticipation of what the
3 surcharge will be is based on your anticipation of what
4 those fuel costs will be in the 2008-2010 time frame;
5 correct?

6 **A.** That's correct.

7 **Q.** Okay. And you would agree that the
8 justification for the surcharge price is that your
9 surcharge request for 2006 is less than what you estimate
10 the future fuel costs will be?

11 **A.** That's correct.

12 **Q.** Okay. But your estimation of future fuel costs
13 could be over or under what you used in your estimation;
14 is that correct?

15 **A.** That's correct. So at this point, we anticipate
16 that the actual contract prices will be higher than
17 anticipated at the time that we proposed and filed the
18 plan.

19 **Q.** Well, let me make sure that I understand. You
20 have yet to file the purchased power contracts, so at this
21 point, you don't know the exact terms or conditions of the
22 purchased power contracts that will come into effect as of
23 January of 2008; is that correct?

24 **A.** That's correct.

25 **Q.** And you won't have those contracts finalized --

1 my understanding from your testimony is that would be
2 sometime in 2006. Is that still the current time frame
3 that you anticipate?

4 **A.** It's coming ahead quickly, and it's just
5 possible that we will know, as I say, the firm prices, or
6 should I say the contract prices, effective 2008 within
7 the very short term here, prior to the end of the current
8 year, 2005. It's possible that we will not have signed
9 contracts until early 2006.

10 **Q.** Okay.

11 **A.** In other words, we may know the contract terms
12 and have finalization on contract terms prior to signing
13 contracts.

14 **Q.** Okay. But your proposed surcharge that you've
15 put in the testimony today of .00254 per kilowatt-hour for
16 the cost of fuel effective January 1st and the subsequent
17 increase to .00256 per kilowatt-hour starting July 1st is
18 not based on any current contract that you have in -- that
19 you will have in effect as of 2008, but are based on your
20 estimates; is that correct?

21 **A.** That's correct.

22 **Q.** Okay. And so you're asking that the Commission
23 approve a plan to collect the surcharge for the two-year
24 period in 2006, which is included in your testimony, and
25 2007, which is not included in the testimony. In other

1 words, we don't know what the fixed price of the 2007
2 increase will be.

3 **A.** At this point in time, that's correct.

4 **Q.** Okay. Now, let me make sure. I'm asking a
5 clarifying question. Is FPUC asking the Commission to
6 approve all the surcharge factors based on Exhibit CMM-4
7 or just the 2006 surcharge factor? Do we know?

8 **A.** (By Mr. Bachman) We are asking -- because it is
9 in this '06 docket, we're asking for the '06 fuel, for the
10 '06 portion.

11 **Q.** Okay. But if the Commission were to approve the
12 plan, they would be approving a surcharge in 2007, but not
13 knowing exactly what that surcharge would actually end up
14 being in 2007; is that correct?

15 **A.** That's correct. Our plan would be to see what
16 the market rates were and adjust that accordingly.

17 **Q.** Okay. So then the testimony on page 15 of the
18 September 21st testimony -- and I think that was
19 Mr. Camfield's statements -- lines 2 through 5, that state
20 that the surcharge amounts will be adjusted as market
21 expectations change, and I assume also as the contracts
22 get finalized, as actual energy sales deviate from
23 forecast sales, and as offers are received, and as the
24 contracts for net power supplies are reached, is correct?

25 **A.** (By Mr. Camfield) That's correct.

1 Q. Okay. So at this point, all the Commission and
2 customers can know for certain is that the amount of the
3 surcharge usage rate, that it will increase in 2007; am I
4 correct?

5 A. That's correct.

6 Q. Okay. And that if the Commission were inclined
7 to approve the plan, they will have no definitive
8 information as to what the 2007 usage rate will be;
9 correct?

10 A. Well, I think the word there, definitive, is a
11 little bit troubling, and perhaps we should clarify.

12 Q. Well, at this point, if the Commission were --

13 A. Precisely.

14 Q. -- to approve the plan, they would not have the
15 2007 factor that they were approving? Am I correct in
16 that?

17 A. They would not know it exactly.

18 Q. Okay. I'm going to continue with Mr. Camfield.
19 And, Mr. Bachman, if you care to add anything, please let
20 me know.

21 Under the plan, the collection of the surcharge,
22 we established, begins in January of 2006; correct?

23 A. That's correct.

24 Q. Okay. And all of the customers who are on the
25 system at that time will be charged the surcharge based on

1 their usage; right?

2 **A.** That's correct.

3 **Q.** Now, as customers continue to come on to the
4 system during the two years, they will pay the surcharge
5 based on their usage; am I correct?

6 **A.** That's correct.

7 **Q.** Okay. So if a customer comes on to the system
8 in July of 2006, he will start contributing to the fund
9 beginning from that date forward; correct?

10 **A.** That's correct.

11 **Q.** Okay. And this customer who comes on the system
12 in July 2006, he will not be charged the surcharge for the
13 period he was not on the system, i.e., from the January
14 2006 time frame to the July 2006 time frame; correct?

15 **A.** That's correct.

16 **Q.** Okay. And after the two-year collection period,
17 the amount collected will be flowed back to the customers
18 over the three-year period; right?

19 **A.** That's correct.

20 **Q.** And the flow-back of the total amount collected
21 will be based on the customer groups, such as residential
22 customers. Am I understanding that correctly?

23 **A.** The flow-back amounts will utilize several
24 parameters in the determination of what the flow-back
25 amounts actually are as a price or a credit per KWH.

1 **Q.** But residential would be one distinct group of
2 customers. You're going to keep the funds that you
3 collect from residential customers separate and then flow
4 them back to residential customers based on that customer
5 group?

6 **A.** That's not our plan, no. We would put it in a
7 general fund, and it would treat all energy sales and
8 across all customer classes the same.

9 **Q.** Okay.

10 **A.** It doesn't distinguish between classes.

11 **Q.** All right. However, when you flow back the
12 money that we're talking about that was collected over the
13 two years, it will be flowed back on a customer usage
14 basis; am I correct about that?

15 **A.** That's correct.

16 **Q.** Okay. And under this plan, monies are not
17 tracked on an individual customer basis, so I am correct
18 about that?

19 **A.** That's correct.

20 **Q.** And under the plan, if a customer leaves the
21 system before the expiration of the plan, he will not
22 receive a refund?

23 **A.** As the plan is currently proposed, that is
24 correct.

25 **Q.** And under this plan, some customers may pay into

1 the plan and won't get a refund and won't get back the
2 full amount that they paid into the plan. That's a
3 possible scenario; correct?

4 **A.** That's possible.

5 **Q.** Okay. And under this plan, it's also possible
6 that there may be instances where a customer comes on to
7 the system after the two-year collection period, yet they
8 would receive the benefit of reduced rates until 2010. Am
9 I correct about that?

10 **A.** That's correct.

11 **Q.** And since the plan does not track based on an
12 individual customer basis and will be collected and flowed
13 back on an usage basis, if a customer's usage changes over
14 the period of the plan, he may end of being subsidized or
15 subsidizing others; is that correct?

16 **A.** I have difficulty with the use of the word
17 "subsidization." I would interpret subsidization -- I
18 interpret and attach meaning to the term "subsidization"
19 in a narrow sense, not the broader sense that I think is
20 suggested.

21 **Q.** Well, let me see if I can break that down more.
22 If a customer changes his usage -- let's assume he uses a
23 thousand kilowatts of energy for a billing period, and he
24 pays based on that thousand hours' worth of usage for the
25 two years, and then when the increase comes, his usage

1 drops to 800 kilowatts per billing cycle. He would not be
2 receiving the full amount of the monies he paid in; is
3 that correct? Mathematically, he would not be
4 receiving -- if he paid for a thousand hours' worth of
5 usage but his usage dropped to 800, it is possible that he
6 will not be getting the full amount of the monies that he
7 paid in back over the three years.

8 **A.** That's correct.

9 **Q.** Okay. And conversely, if he was using a
10 thousand kilowatt-hours per billing cycle and his usage
11 increased to 1,200, somebody else would be paying for that
12 200 kilowatt-hour increase?

13 **A.** I would disagree with that. I would suggest --
14 I have trouble with the term "someone else would be paying
15 for it."

16 **Q.** Well, it would be coming out of the pot of money
17 collected from all of the ratepayers; correct?

18 **A.** What we can say is that there's an imbalance
19 between the amounts that would be paid in versus the
20 amounts that were claimed during the payback period in
21 some cases where there are changes, significant changes in
22 usage by an individual customer.

23 **Q.** Okay. And would you agree that in the scenario
24 where a customer for whatever reason were to increase his
25 usage, he would not have paid for that increase in usage

1 in the two-year plan? If for two years he used a thousand
2 hours and then increased after the three years to 1,200,
3 he himself would not have paid for that increase in usage
4 into the plan?

5 **A.** That would be the sort of imbalance that I
6 mentioned.

7 **Q.** Okay. You would agree, or am I correct that if
8 the plan is not approved, the current customers will only
9 pay for the electricity that they use today based on the
10 current cost; correct?

11 **A.** That's correct.

12 **Q.** Okay. And any future electricity that he uses,
13 he will be paying for the fuel related to that future
14 energy usage; correct? The customer would be paying for
15 what he actually in fact uses?

16 **A.** That's correct.

17 **Q.** Okay. Now, in your assumptions -- I think you
18 had a table attached to your September 21st testimony. In
19 the assumptions that you used to generate the surcharges
20 from 2006 through 2010, was growth in customers as well as
21 seasonal changes in consumption patterns included in that
22 surcharge calculation?

23 **A.** Yes.

24 **MR. HORTON:** Excuse me, Mr. Chairman. Could we
25 get a reference to that?

1 MS. CHRISTENSEN: I'm speaking in general to the
2 exhibit that was attached to the back of the September --
3 I think it was the back of the September 2001 testimonies.

4 CHAIRMAN BAEZ: 2001, you said?

5 MS. CHRISTENSEN: I'm sorry. 2005, September
6 21st, 2005.

7 Well, let me clarify that. I believe that was
8 actually referring to Exhibit CMM-4, but I believe --
9 that's the testimony that I'm referring to, the exhibit I
10 was referring to.

11 MR. HORTON: I'm sorry. That was CMM-4?

12 MS. CHRISTENSEN: Correct.

13 CHAIRMAN BAEZ: That would be Exhibit 24,
14 Commissioners.

15 MR. HORTON: Thank you.

16 BY MS. CHRISTENSEN:

17 Q. Now, if you have more growth in the payback
18 years than in the surcharge years, doesn't customer growth
19 lessen the amount of the rate reduction per kilowatt-hour
20 to be paid back?

21 A. That's correct.

22 Q. So let me make sure I'm understanding this
23 correctly. Just by including a growth factor, an
24 individual customer gets less of what he paid in; is that
25 correct?

1 **A.** If the growth in the payback years is greater
2 than anticipated in the development of the phase-in plan,
3 then the amount of money that would be realized by
4 individual customers would be less than anticipated.

5 **Q.** Okay. How does the company anticipate that it
6 will address the changes to its projections in the retail
7 price of purchased power fuels in the years 2006 and 2007
8 regarding the surcharge payback cycle? Mr. Bachman?

9 **A.** (By Mr. Bachman) Could you reword that?

10 **Q.** I think in earlier testimony, it was stated that
11 you anticipate adjusting the surcharge based on changing
12 factors. And the question refers to that, which is how
13 does the company anticipate that it will address those
14 changes to its projections in the retail prices of
15 purchased power fuel in 2006-2007 regarding the surcharge
16 and payback cycle?

17 **A.** In case of significant changes to market price
18 over our estimate? Is that what you're referring to?

19 **Q.** Yes.

20 **A.** I guess I'll have to defer that one to Witness
21 Camfield also.

22 **A.** (By Mr. Camfield) Could I hear the question
23 again, please? I'm sorry.

24 **Q.** Assuming there was a significant change to
25 market prices over what was utilized in coming up with the

1 surcharge projections, how would that be addressed in the
2 2006-2007 projections?

3 **A.** That would have no impact on the projections.
4 And that's because the plan, should the plan be approved
5 by the Commission, would be insulated to fuel prices
6 during the years 2006-2007.

7 **Q.** How would you -- if my understanding was correct
8 that you were planning on adjusting the surcharge based on
9 market conditions, that if there were a significant change
10 in market conditions, you would be adjusting the surcharge
11 to more accurately reflect what the market prices would be
12 in the 2008-2010 time frame; am I correct?

13 **A.** That's correct.

14 **Q.** Okay. And I guess what I'm asking you is, how
15 do you plan on doing that in the projections?

16 **A.** During the years 2006-2007?

17 **Q.** Correct, or do you?

18 **A.** When we were developing the plan? Well, let's
19 imagine that we have established contracts now and have
20 them in place for the beginning of 2006, so those
21 contracts are in place. They have a variable -- let's
22 imagine that one contract, and there could be several
23 contracts, has a variable component, so that that
24 component would vary as a price element, as expectations
25 for the 2008 to 2012 time frame. We would recognize

1 changes in the expectations of that variable component of
2 the contract terms within the surcharge calculations for
3 the 2006-2007 time frame.

4 Q. So am I correct that if major changes occur in
5 the company's projections, say one year the company's
6 projected cost of fuel decreases from today's projections,
7 doesn't adjusting this mechanism become quite complex and
8 uncertain to administer, thus raising the cost for
9 customers?

10 A. We think it's appropriate for the plan to be
11 flexible and accommodate changing expectations for the
12 2008-2012 time frame. We don't think it adds unnecessary
13 complexity.

14 Q. Would it add additional cost to make those
15 adjustments?

16 A. To administration, administrative costs
17 associated with the plan itself?

18 Q. Okay.

19 A. I would say, no. It would be minuscule.

20 Q. Let me refer to Mr. Bachman. You were present
21 at the customer meetings held on October 5th and 6th in
22 2005 in Fernandina Beach and Marianna; correct?

23 A. (By Mr. Bachman) Yes.

24 Q. And at those customer meetings, you heard the
25 comments made by the customers; correct?

1 **A.** That's correct.

2 **Q.** Okay. Would you agree that most of the comments
3 made by the customers at this meeting were negative?

4 **A.** I would agree with that.

5 **Q.** And is it correct that, let's say, out of the
6 four people who spoke at the Fernandina Beach meeting, at
7 least three of those customers had a negative reaction to
8 the proposed plan? Would you agree subject to check?

9 **A.** Subject to check, yes.

10 **Q.** And would you also agree subject to check that
11 at least -- out of the eight people who spoke at the
12 Marianna customer service meeting, at least six of those
13 customers had a negative reaction to the proposed plan?

14 **A.** Yes.

15 **Q.** Okay. And have you had the opportunity to
16 review the written comments that were submitted regarding
17 the plan?

18 **A.** I have not.

19 **Q.** Okay. Let me address Mr. Cutshaw very briefly.
20 Mr. Cutshaw, we had an article that was passed out
21 earlier. I believe it's Exhibit -- I want to say 81.

22 CHAIRMAN BAEZ: Eighty-one.

23 BY MS. CHRISTENSEN:

24 **Q.** The article is 81. I believe in that article,
25 am I correct, it quotes you as saying that FPUC will abide

1 by its customers' wishes on this matter; is that correct?

2 A. (By Mr. Cutshaw) That's correct.

3 Q. Okay. And you've heard Mr. Bachman's testimony,
4 and you were also present at those customer meetings. And
5 you would agree that all the customer comments at those
6 meetings were negative in objecting to the plan; correct?

7 A. Yes, I would agree that those that attended the
8 meetings did have negative comments.

9 Q. Okay. Now, would you agree that based on
10 that -- would you agree, based on the customer comments
11 that were received at those meetings and the customer
12 comments here today, that if you were to abide by your
13 statement in here that the company would adhere to the
14 customers' wishes, that FPUC would withdraw its petition
15 in this matter?

16 A. I think the comment I made was that if the
17 majority of the customers were against this, then we would
18 abide by their wishes. I'm not sure that's the case.

19 Q. Okay. Has FPUC submitted any positive customer
20 comments here today for the Commission's consideration?

21 A. No, we haven't.

22 Q. Okay. Let me ask -- I would like to ask a
23 clarifying question of Mr. Cutshaw -- or Camfield, I'm
24 sorry.

25 FPL and Progress customers have, on average,

1 somewhere around -- or pay somewhere around \$100 per
2 thousand kilowatt-hours of energy. If your plan is not
3 approved, what is your estimate of what the average FPUC
4 residential rate per thousand kilowatt-hours of use will
5 be in 2008? Will it be around \$100?

6 **A.** (By Mr. Camfield) I would guess that it's about
7 -- we can expect that it's about \$97 monthly for 1,000 KWH
8 consumption.

9 **Q.** Thank you. Mr. Bachman, I would like to ask you
10 some questions regarding Christensen Associates and the
11 fees. I think it's probably more appropriate for the
12 company to address these.

13 In your testimony or in the panel testimony, you
14 are proposing to collect from the customers the fees
15 associated with Christensen Associates; am I correct?

16 **A.** (By Mr. Bachman) That's correct.

17 **Q.** Okay. I guess this is addressed to Ms. Martin,
18 who may have provided a direct statement on this.

19 Ms. Martin, in your testimony, you claim that
20 FPUC is entitled to seek recovery because Christensen
21 Associates has developed and managed the bidding process
22 for the power supply beginning in 2008 and has helped
23 develop the surcharge plan; correct?

24 **A.** (By Ms. Martin) Correct.

25 **MR. HORTON:** Mr. Chairman, I appreciate the

1 effort to move forward, but could we have some references
2 to where -- to the testimony so that we can at least take
3 a look?

4 MS. CHRISTENSEN: Page 13 of the 01 testimony.

5 MR. HORTON: Thank you.

6 CHAIRMAN BAEZ: Thank you.

7 MS. CHRISTENSEN: However, I'm not asking
8 specific questions regarding lines or whatever so I would
9 refer you to those, but in general about her testimony.

10 BY MS. CHRISTENSEN:

11 Q. Ms. Martin, am I correct that most of the fee
12 you're requesting for reimbursement is based on
13 Christensen Associates' work on the bidding process? Is
14 that correct?

15 A. That's correct.

16 Q. Okay. And as stated earlier in the panel
17 testimony, the bidding process has not concluded related
18 to those 2008 contracts; am I correct in that?

19 A. That's correct.

20 Q. So at this point in time, Christensen Associates
21 has not completed the work related to the 2008 contracts;
22 correct?

23 A. Correct.

24 Q. Do you know what portion of the fee for
25 Christensen Associates is associated with the work on

1 the surcharge plan, if you had to provide a percentage of
2 the hours that they've submitted for you, 50 percent,
3 20 percent, 10 percent, as opposed to the bidding process?
4 And Mr. Camfield, maybe if he knows --

5 A. I can give you an estimate --

6 Q. That would be fine.

7 A. -- that it's less than 25 percent.

8 Q. Less than 25 percent?

9 A. Uh-huh.

10 A. (By Mr. Camfield) It's by my calculation 23
11 percent.

12 Q. Thank you for being very accurate.

13 Now, you imply in your testimony, I think,
14 Ms. Martin, that it is likely that the use of the
15 consultants will result in lower costs to the customers;
16 is that correct?

17 A. (By Ms. Martin) That's correct.

18 Q. But isn't it true that at this point in time,
19 you cannot quantify the savings because you have yet to
20 secure the final contracts?

21 A. I would say that you will not be able to
22 quantify it. It gets back to economics and fair,
23 competitive -- the competitive process that is inherent in
24 any type of -- in that type of a process.

25 Q. But your testimony does not attempt to quantify

1 the dollar amounts; correct?

2 **A.** We do feel that the savings will be much greater
3 than the costs that we have incurred for our consultant,
4 in the neighborhood of -- I believe we feel it could be
5 millions of dollars saved to our customers.

6 **Q.** Right. But that number or what you're quoting
7 today was not included in your testimony; correct? I
8 think if you --

9 **A.** I do believe we had something in it, if you'll
10 give me a minute.

11 **Q.** Certainly.

12 **A.** What we stated in the 01 testimony on page 14
13 was that we felt the savings would be above what the costs
14 would be. And if you want it word for word, we felt that
15 the cost of fuel would result in savings well over 400,000
16 in just five years, and that well exceeds the cost for our
17 consultant in this process.

18 **Q.** Okay. But you would agree that you would have a
19 better idea of what the savings will be once you actually
20 procure the new contracts and once those actually come
21 into being, and that won't be until, as of the testimony
22 date, the beginning of 2006? Am I correct about that?

23 **A.** We would never know what the exact savings would
24 be, because you can't do both things at once, so there
25 would be no way to know what the exact savings would be by

1 using a consultant versus not using it, unless we did two
2 separate processes and we went out for contracts without
3 the use of a consultant versus going out for new contracts
4 with the use of a consultant.

5 A. (By Mr. Bachman) And even then you would only
6 have two observations. You couldn't generalize that to
7 general benefits.

8 Q. Well, let me ask this. In your testimony at
9 page 15, it appears -- lines 26 through 29, it appears
10 that you concede that it may be more appropriate for this
11 type of cost to be collected through a base rate
12 proceeding, and that at least at this point you would be
13 asking --

14 MR. HORTON: I'm going to object to that
15 characterization. That's not what that says.

16 MS. CHRISTENSEN: The witness has the
17 opportunity to agree or explain or deny in responding.

18 CHAIRMAN BAEZ: Well, can you point at least to
19 the -- can you point us to the testimony at least?

20 MS. CHRISTENSEN: I'll repeat that, certainly.
21 Page 15, lines 26 through 29.

22 CHAIRMAN BAEZ: Which testimony?

23 MS. CHRISTENSEN: I'm sorry. The 01 testimony.

24 CHAIRMAN BAEZ: And that's the panel testimony?

25 MS. CHRISTENSEN: That is correct.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN BAEZ: Page 15?

MS. CHRISTENSEN: Page 15, lines 26 through 29.

CHAIRMAN BAEZ: Ask your question again.

MS. CHRISTENSEN: Okay.

BY MS. CHRISTENSEN:

Q. In your testimony, you talk about if the Commission feels that it's more appropriate to recover these costs through base rates, you would just request permission to defer these until the next rate proceeding and have them amortized at that point in the future. And I guess my question goes, based on that testimony, isn't it are correct that this type of cost is more appropriate for a base rate proceeding?

A. (By Ms. Martin) That is not correct. We definitely feel this is directly related to fuel costs, that it most appropriately belongs to be recovered through the fuel recovery clause. We do recognize that sometimes the Commission prefers alternatives, and we do recognize that there was some opposition to recovering these costs through the fuel cost recovery clause.

We also recognize that there was an order that the staff felt that maybe disallowed those through the fuel cost recovery clause, but we disagree, because in great detail we have analyzed that order and most definitely feel that these costs that we've incurred do

1 not fit into those definitions. The costs that we
2 incurred are again directly related to our fuel RFP
3 process, and these costs are not annually recurring.
4 They're not ongoing administrative costs. They are not
5 fixed costs. We have not recovered these through our base
6 rates, and therefore, they don't meet that definition, we
7 feel, of that order that would require those type of costs
8 to be recovered through base rather than the fuel cost
9 recovery clause.

10 And we simply offered that in a way not to
11 penalize the company for these prudently incurred costs,
12 that if they did feel that the fuel wasn't the place to
13 recover those, we offered an alternative that would not
14 penalize the company and allow us to recover those through
15 base rates upon our next rate proceeding.

16 Q. Let me ask you a few questions regarding your
17 consolidation proposal. And I'm not sure if --
18 Ms. Martin, are you the appropriate person, or
19 Mr. Bachman? In this proceeding, you're asking to
20 consolidate the price for the fuel component for your two
21 divisions; am I correct?

22 A. (By Mr. Bachman) This is correct.

23 Q. Okay. And in Docket 031135-EI, the company also
24 asked the Commission to consolidate the rates for the two
25 divisions; correct?

1 **A.** That's correct.

2 **Q.** And in that docket, in Order PSC-04-0417-PAA-EI,
3 isn't it correct that the Commission denied the company's
4 request to consolidate the fuel component for the two
5 divisions?

6 **A.** That's correct.

7 **Q.** And in that order, the Commission had already
8 considered the reasons that were put forth in your
9 testimony in the 01 docket regarding minimizing rate shock
10 and minimizing regulatory administrative costs; right?

11 **A.** I'll defer that to Witness Martin.

12 **A.** (By Ms. Martin) We feel that that order back
13 then could not have taken into account the facts that are
14 available to us today with respect to the fuel prices that
15 we expect in the future years. And so, no, that order
16 would not have taken into account all of the facts that
17 are put forth to support our request to consolidate.

18 **Q.** You have not as of today's date changed the
19 purchased power contracts that the company is operating
20 under; correct?

21 **A.** Correct.

22 **Q.** And in Order PSC-04-0417-PAA-EI, the Commission
23 found that the consolidated fuel rates would be unduly
24 discriminatory, and any regulatory administrative cost
25 savings would be minimal; is that correct?

1 **A.** May I have the question read back, please?

2 **Q.** Sure. How did FPUC come up with that \$11.4
3 million amount as the amount that was appropriate for
4 collection under the surcharge?

5 **A.** We constructed a simulation, and the simulation
6 took into account and was, should we say, parameterized by
7 key factors. Those factors include the current prices
8 paid for generation services and transmission services by
9 FPU. It takes account of expected growth in energy sales
10 to retail consumers during the 2006-2007 years reaching
11 out to 12, 2012. And it also includes a key element, the
12 expected wholesale price for power supply beginning in
13 2008. That simulation was generated during the
14 April-May 2005 time frame, and so by today's standards
15 perhaps is a bit dated. But those are the essential
16 elements.

17 **Q.** Okay. And that wholesale amount that you said
18 was one of the parameters, in your response to staff's
19 interrogatory number 12, which is at Bates stamp 162 to
20 164 in staff's composite, which you should have over
21 there, you said that that wholesale price you estimated to
22 be \$60 per megawatt-hour; is that correct?

23 **A.** That's correct.

24 **Q.** Okay.

25 **A.** That includes, by the way, just generation

1 services.

2 Q. Okay. What else would be appropriate for us to
3 get what a real value would be then beyond that?

4 A. Excuse me. I have misspoken. Let me refer to
5 another place in my testimony. Wait just a moment.

6 The \$60 includes transmission as well.

7 Q. Okay.

8 A. So, in other words, that would be the contract
9 price to FPU for the purchase, wholesale purchase of both
10 generation and transmission services.

11 Q. Okay. And looking at the exhibit that was
12 prepared with the testimony from the 050317 docket, which
13 was BMCC-2 --

14 A. Yes.

15 Q. At the time that was prepared, the \$60 was sort
16 of on the high range for all the parameters you listed
17 there. Would you say that's true?

18 A. If you are on page 1 of BMCC-2, those prices
19 shown are just for generation services.

20 Q. Okay.

21 A. It does not include transmission.

22 Q. Okay.

23 A. And that's the key distinction.

24 Q. Now, you said earlier that these projections
25 were done in April or May of this year; is that correct?

1 **A.** That's correct.

2 **Q.** And you would agree that the market prices have
3 gone up since that time?

4 **A.** Yes.

5 **Q.** Do you have a sense of what an appropriate
6 estimate would be for the wholesale purchase price at this
7 point per megawatt-hour?

8 **A.** Beginning in 2008?

9 **Q.** Yes.

10 **A.** I would guess that it would be \$70.

11 **Q.** \$70?

12 **A.** Including generation and transmission. So it's
13 directly comparable to the \$60, which is vintage April-May
14 2005.

15 **Q.** Can you repeat what you just said?

16 **A.** The \$70 is comparable in the service bundle to
17 that of the \$60 that we've been talking about.

18 **Q.** Oh, I thought you just said 70 including
19 transportation. Is that what you said?

20 **A.** I did, and that's comparable to \$60, which also
21 includes transport or transmission charges as used in the
22 simulation for the phase-in plan developed in April-May.

23 **Q.** Okay. My question then is, if you think that
24 based on current market prices you think a more
25 appropriate wholesale price is \$70 per megawatt-hour

1 starting in January 2008, is it more likely now that the
2 surcharge amount that was proposed by FPUC is less likely
3 to capture enough monies to really ameliorate the
4 potential rate shock that might come about in January
5 2008?

6 **A.** Well, if we rely upon today's expectations for
7 the 2008-12 time frame, it's pretty clear that the
8 April-May projections understate today's expectations, and
9 so would be by any reasonable standard, I think, low.

10 **Q.** Okay. Now, FPUC has proposed a fuel surcharge
11 of .254 cents per KWH for the period of January through
12 June of 2006, and then it will go up to .526 cents per
13 kilowatt-hour for the period July through December 2006;
14 is that correct?

15 **A.** (By Mr. Bachman) Yes.

16 **Q.** Now, those proposed factors apply to both
17 divisions; is that correct?

18 **A.** Yes.

19 **Q.** And will all customer classes, both residential
20 and commercial, be assessed this surcharge?

21 **A.** That's correct.

22 **Q.** So the GSLD-1 rate class for both divisions
23 would also be paying the surcharge?

24 **A.** That's correct.

25 **Q.** Now, in your original proposal as filed in

1 050317, you had -- well, strike that. For 2007, your
2 CMM-4 shows a surcharge increase to .776 cents per
3 kilowatt-hour for January through May of 2007, and then
4 going up in June through December of 2007 to 1.086 cents
5 per kilowatt-hour. Now, I'm just curious. Why did you
6 have a break in July in 2006, but then the break was in
7 June in 2007?

8 **A.** (By Mr. Camfield) Because I made a mistake.

9 **Q.** So I guess we get to some of the questions that
10 Ms. Christensen asked you earlier. Really, you're not
11 asking for the 2007 surcharge to be approved in this
12 proceeding, just to affirm what you had said earlier? I
13 think Mr. Bachman said that.

14 **A.** (By Mr. Bachman) Yes, correct.

15 **Q.** So essentially, you would correct that oversight
16 in next year's filing to have the amount ratcheted up in
17 July of 2007 if this was approved?

18 **A.** Yes.

19 **Q.** Okay.

20 **A.** (By Mr. Camfield) Regarding this error, and I
21 appreciate you bringing it to my attention, I will provide
22 you with a corrected exhibit.

23 **Q.** Thank you. Now, this is on page 2 of CMM-4.
24 For the Northeast Division, FPUC has proposed to collect
25 \$6,982,859 in 2006 and 2007 through the surcharge that's

1 proposed. Now, on page 2 of CMM-4, FPUC proposes to
2 refund \$7,304,838, which would be more than is collected,
3 and both of those amounts presumably are with interest.
4 So I'm wondering what the difference is between the amount
5 collected and the amount that's proposed to be refunded.
6 And I'll say that there is a similar discrepancy for the
7 Northwest Division, but it's a much smaller differential.

8 **A.** The difference that you see, it is a
9 discrepancy, but it's a discrepancy that we built into the
10 scenario. We can construct a scenario so it balances out
11 exactly --

12 **Q.** Okay. And --

13 **A.** -- if that's -- go ahead.

14 **Q.** Why wouldn't you do it so it balances out
15 exactly? I mean, what is the differential there?

16 **A.** The differential was as a matter of presentation
17 to show and demonstrate the sincerity of the company to
18 refund the total monies collected, so we set it up in the
19 scenario design to pay back. As recognized, as you
20 observe here, it's slightly more than the collected.

21 **Q.** So where does that extra money come from?

22 **A.** That would come from FPU.

23 **Q.** Okay. Now, Ms. Christensen asked before about
24 where the money would be placed, and I think it was an
25 interest-bearing account. And I'm wondering, is that

1 going to be at the commercial paper rate, that account?

2 **A.** (By Mr. Bachman) I apologize. Would you repeat
3 the question?

4 **Q.** Sure. The monies will be placed an
5 interest-bearing account. That was said earlier, either on
6 cross or in your summary.

7 **A.** That's correct.

8 **Q.** Is that going to be at the commercial paper
9 rate?

10 **A.** It definitely would be at an investment grade,
11 and I believe what we have in the testimony was the
12 commercial paper rate.

13 **Q.** Okay. Which currently is around 4 percent?

14 **A.** That's correct.

15 **Q.** Okay. Now, referring again to CMM-4, it has
16 credits listed that you're proposing to refund back to the
17 customers in 2008 through 2010. Are you requesting
18 Commission approval of those credits at this hearing, or
19 is it going to be similar to your 2007 surcharge amount,
20 you'll wait until those respective years and then ask for
21 approval?

22 **A.** It is our intention again to true this up to
23 where the market fluctuates, and we would run through
24 another iteration at that point to say, well, what will it
25 take for offsetting credits to smooth the increase to

1 market over those three years. So in answering the
2 question, yes, those would be adjusted.

3 Q. Okay. And I'm curious. If the total amount
4 that's collected through the surcharge at the end of 2007
5 differs from what was projected to be collected, will that
6 credit be subject to an adjustment, or you'll just sort of
7 -- you'll have more in the pot to be refunded back through
8 2008 through 2010?

9 A. That again would go through the other iteration.
10 You would have the market change. We would find out the
11 exact number of dollars that we had available, including
12 the interest. And again, we would look at the projected
13 costs for those three years, assuming Christensen would
14 run that through the model again for a smoothing effect.
15 So, yes, it would be tried up for whatever amount of money
16 is there at that point in time.

17 MS. VINING: Okay. Those are all the questions
18 I have. Thank you.

19 CHAIRMAN BAEZ: Commissioners, questions?

20 COMMISSIONER DEASON: Mr. Chairman, I have a few
21 questions.

22 CHAIRMAN BAEZ: Go ahead, Commissioner Deason.

23 COMMISSIONER DEASON: I'm looking an exhibit
24 which is labeled BMCC-1, and it's three pages. I think
25 this is attached to some testimony that was filed on

1 September the 21st, and it's labeled "Phase-in Plan
2 Summary."

3 CHAIRMAN BAEZ: Commissioner, which page of
4 that?

5 COMMISSIONER DEASON: Well, it's three pages.
6 I'll just start on page 1.

7 CHAIRMAN BAEZ: Okay.

8 COMMISSIONER DEASON: I have questions on each
9 page.

10 Do the witnesses have this exhibit?

11 MR. CAMFIELD: We have the exhibit,
12 Commissioner.

13 COMMISSIONER DEASON: Okay. I know this is a
14 summary of the plan. Is the information contained here
15 the most current information, or has this been updated
16 somewhere?

17 MR. CAMFIELD: The information on these exhibits
18 would show separate surcharges for the Northeast and
19 Northwest Divisions of FPU rather than show the results on
20 a consolidated basis.

21 COMMISSIONER DEASON: I'm sorry. There's an
22 exhibit -- page 1 is the Eastern Division, and page 2 is
23 the Western Division. This is what's still being proposed
24 at this point?

25 MR. CAMFIELD: We would propose to phase in on a

1 consolidated basis.

2 COMMISSIONER DEASON: I'm sorry. Could you
3 repeat that? To phase in what?

4 MR. CAMFIELD: We would propose to phase in --
5 if we're going to consolidate fuel, then we would want to
6 phase in -- a phase-in plan that is common to both
7 divisions.

8 COMMISSIONER DEASON: Well, this exhibit assumes
9 that there is not to be a phase-in plan, I mean, not to be
10 a --

11 MR. CAMFIELD: It assumes that there's a
12 phase-in plan, but --

13 COMMISSIONER DEASON: But not a consolidation?

14 MR. CAMFIELD: That's correct.

15 COMMISSIONER DEASON: On page 1 of this exhibit
16 under the column "Retail Fuel Prices," there's numbers
17 there for the years 2006 through 2010. And I assume that
18 the numbers there for 2006 and 2007 are under the current
19 contracts; correct?

20 MR. CAMFIELD: That's correct.

21 COMMISSIONER DEASON: Okay. And the same for
22 the Western Division. Those amounts listed there for 2006
23 and 2007 are under current contracts?

24 MR. CAMFIELD: Yes.

25 COMMISSIONER DEASON: Now, the amounts listed

1 for the years 2008 through 2010 are the same for both the
2 Eastern Division and the Western Division; correct?

3 MR. CAMFIELD: They would be different and are
4 different for the Schedule BMCC-1, pages 1 and 2.

5 COMMISSIONER DEASON: Well, my exhibit shows the
6 same numbers for each division. This is under the first
7 column entitled --

8 MR. CAMFIELD: I'm sorry, Commissioner. I was
9 on the wrong column. You are correct. They are the same.

10 COMMISSIONER DEASON: Now, is this -- is it
11 anticipated that the -- I know the contracts are yet to be
12 signed, but is it anticipated that the general market
13 conditions for wholesale energy are going to be
14 approximately the same for both the Eastern and the
15 Western Division?

16 MR. CAMFIELD: Current evidence suggests that
17 the Northeast Division will face higher prices than the
18 Northwest Division. This is in contrast to the current
19 prices of the current contracts, where the Northeast has
20 lower prices than the Northwest. We anticipate that
21 beginning in '08 with the new contracts that that will be
22 reversed, with the Northeast being the higher.

23 COMMISSIONER DEASON: And this is supported by
24 the responses you've received from your RFP; is that
25 correct?

1 MR. CAMFIELD: That's correct.

2 COMMISSIONER DEASON: Now, the -- that's fine.
3 I want to refer to some different testimony. And this is
4 testimony that was filed on September the 9th, and I'm
5 looking at page 16 of that testimony. This testimony
6 addresses an additional delivery point that is in the
7 Western Division, and it was necessary in order to serve
8 the Family Discount Distribution Center. And if I
9 understand this, there is a -- you're requesting the
10 inclusion of some \$3,700 a month for leasing of equipment
11 from Gulf Power to be flowed through the fuel clause; is
12 that correct?

13 MR. CUTSHAW: That's correct.

14 COMMISSIONER DEASON: Okay. The question that I
15 have is, how can you assure me that the additional revenue
16 from the new large customer is not sufficient to cover the
17 additional cost of this leased equipment, i.e., are you
18 already recovering these costs through just your normal
19 rates for this new customer?

20 MR. CUTSHAW: The new customer is under our
21 standard GSLD rate class.

22 COMMISSIONER DEASON: And that means they are
23 not recovering these type costs in their rates?

24 MR. CUTSHAW: When we constructed the additional
25 facilities to serve that facility, there was not adequate

1 capacity in the substation to supply that. Because of the
2 lack of capacity, we requested that Gulf Power build an
3 additional addition to the substation.

4 In turn, since that was not included in our
5 original agreement with them for purchased power, there
6 was a separate agreement signed for that particular
7 substation, and there was a facilities charge added to the
8 bill since that particular facility was not included in
9 the rate determination for our original contract.

10 COMMISSIONER DEASON: But you agree that the
11 lease on these facilities are not fuel costs in the pure
12 sense of the term?

13 MR. CUTSHAW: In our specific situation with our
14 contract with Southern Company, the substation charges,
15 the capacity charges are all included in our purchased
16 power costs. And we felt like that this additional
17 capacity need was very much a need to serve this new
18 customer. We feel like that this additional facilities
19 charge is just the addition of the substation that -- if
20 it were there today, it would be included in the purchased
21 power cost and calculated in those base rates from
22 Southern Company.

23 MR. HORTON: Commissioner Deason, could I --
24 this testimony that you just asked questions about was
25 placed in here because initially staff had given us a list

1 of areas of interest, which included an issue relating to
2 this, and we provided them information. That's not
3 actually an issue, but this was filed before that was
4 taken out as an issue. So there's really no -- I'm not
5 speaking for staff, but --

6 COMMISSIONER DEASON: Well, Mr. Horton, staff
7 may not have an issue with it, but this Commissioner may.

8 MR. HORTON: I understand, sir, but I needed to
9 throw that in there.

10 COMMISSIONER DEASON: I appreciate the
11 explanation.

12 MR. HORTON: Because it has been reviewed by
13 them.

14 COMMISSIONER DEASON: That's all I have,
15 Mr. Chairman.

16 CHAIRMAN BAEZ: Commissioners, any other
17 questions?

18 Mr. Horton, redirect?

19 MR. HORTON: Yes, sir, a few.

20 REDIRECT EXAMINATION

21 BY MR. HORTON:

22 Q. Mr. Bachman, Ms. Christensen was asking some
23 questions with regard to customers who move in and out of
24 the territory, your service area, and whether -- the
25 effect of the additive on them. Do you remember those

1 questions?

2 **A.** (By Mr. Bachman) Yes, I do.

3 **Q.** Okay. With your current fuel adjustment factor,
4 is that always from year to year in equilibrium? Some
5 years do you overrecover, and some years you underrecover?

6 **A.** That's correct.

7 **Q.** If you had a customer in your service area
8 during a year, a period of time when there was an
9 overrecovery on the fuel adjustment factor, would that be
10 addressed in the subsequent year? Would there be an
11 adjustment made to recognize that underrecovery --
12 overrecovery, excuse me?

13 **A.** If there's an overrecovery in a particular year
14 with the fuel, that overrecovery is put in and refunded
15 the following year to all customers.

16 **Q.** Refunded in the sense that it's included in the
17 calculation of the --

18 **A.** That's correct.

19 **Q.** And if there was someone in the service area
20 during the year of that overrecovery that moved, would
21 that individual receive a refund?

22 **A.** No, they would not.

23 **Q.** If there was a customer that did not live in
24 your service area for that period but then subsequently
25 moved in, would they receive the benefit of the reduced

1 calculation?

2 **A.** Yes, they would.

3 **Q.** Isn't that the same way that your proposal is
4 working for the phase-in?

5 **A.** Yes, it is, except the phase-in is covering a
6 two-year charge and a three-year payback.

7 **Q.** I believe that between you and Mr. Camfield, you
8 indicated that to the extent that the proposed amounts of
9 the additive needed to be adjusted, that there would be a
10 true-up at some point; is that correct?

11 **A.** Yes, that's correct.

12 **Q.** Ms. Martin, with respect to the consultant --
13 you were asked some questions with regard to the
14 consultant. Do you know the amount that has been included
15 in this proceeding for the consultant fees?

16 Let me ask it a different way. Rather than a
17 specific amount, have you included the entire amount of
18 the anticipated consultant fees in this proceeding?

19 **A.** (By Ms. Martin) Yes, we have.

20 **Q.** Okay. Mr. Cutshaw, you're hiding back there. I
21 believe it was you that responded that GSLD-1 would be
22 paying the surcharge, or was that Mr. Camfield?

23 **A.** (By Mr. Bachman) I believe that was Mr. Bachman.

24 **Q.** Well, Mr. Cutshaw, what is GSLD-1?

25 **A.** (By Mr. Cutshaw) GSLD-1 customers are the two

1 paper mills in Fernandina Beach.

2 Q. Why would it be appropriate for them to -- and I
3 guess now, Mr. Camfield, why would it be appropriate for
4 them to pay the additive?

5 A. (By Mr. Camfield) Well, just as a matter of
6 equity, we would suggest that all consumers pay a constant
7 amount for fuel costs and contract prices. In the case of
8 the paper mills, they may respond to these higher prices,
9 and they may have cogeneration capability. At some point,
10 the payments for cogen capability are at avoided cost, so
11 that it's a net wash from the perspective of Florida
12 Public Utilities Company and its other retail consumers.

13 Q. Ms. Martin, you were asked some questions with
14 respect to the -- again, going back to the consultant.
15 And I don't know if it was a question or in our response
16 you made reference to an order number that is reflected in
17 the staff's position. Do you recall that?

18 A. (By Ms. Martin) Yes, I do.

19 Q. Does Florida Public Utilities Company have a
20 staff responsible for fuel procurement?

21 A. We do not have anyone on staff that would be
22 responsible to negotiate and do the RFP process.

23 Q. And the costs paid to the consultant, were they
24 for anything other than fuel procurement?

25 A. Yes, some work on the fuel surcharge.

1 Q. When you say fuel surcharge, are you referring
2 to the proposal?

3 A. Yes, I am.

4 Q. So there's no -- none of the costs paid to the
5 consultant for which you're seeking recovery through the
6 fuel cost recovery factor is associated with rate case
7 activity or anything like that?

8 A. No, they are not.

9 Q. Were the costs that you're seeking to recover in
10 the fuel cost recovery included in your last rate case?

11 A. No, they were not.

12 Q. So they're not in your rate base?

13 A. No, they are not.

14 MR. HORTON: I believe that's all, Mr. Chairman.

15 CHAIRMAN BAEZ: Okay. We'll take exhibits.

16 MR. HORTON: I would move Exhibits 21 through
17 33.

18 CHAIRMAN BAEZ: Without objection, show Exhibits
19 21 through 33 admitted.

20 (Exhibits 21 through 33 were received into
21 evidence.)

22 CHAIRMAN BAEZ: And I have a question.
23 Mr. Camfield offered to provide a late-filed exhibit
24 clarifying something for staff. Do we need -- I'm
25 assuming we need to mark that.

1 MS. VINING: Sure.

2 CHAIRMAN BAEZ: Okay. We'll mark that 83, if
3 you can just give me what to call it. And then,
4 Mr. Camfield, how soon can you get -- is this a day thing
5 or a -- I hope it is.

6 MR. CAMFIELD: Mr. Chairman, we will try to have
7 this revised exhibit to you by the end of the day.

8 CHAIRMAN BAEZ: Great.

9 MS. VINING: I believe that would be a
10 correction to the CMM-4.

11 CHAIRMAN BAEZ: Okay. And I don't know whether
12 to hold this off, or subject to your review,
13 Ms. Christensen?

14 MS. CHRISTENSEN: That's fine. We can -- as
15 soon as it comes in, if we can have the opportunity to
16 look at it.

17 CHAIRMAN BAEZ: Great.

18 (Late-filed Exhibit 83 was identified.)

19 MR. HORTON: May the panel be excused?

20 CHAIRMAN BAEZ: Yes, they may.

21 MR. HORTON: Thank you.

22 CHAIRMAN BAEZ: Thank you. And let's take five
23 minutes.

24 (Short recess.)

25 CHAIRMAN BAEZ: We'll go back on the record.

1 Mr. Beasley, I have your witness up next.

2 MR. BEASLEY: Tampa Electric calls

3 Mr. Smotherman.

4 CHAIRMAN BAEZ: Mr. Smotherman, you were sworn,
5 sir?

6 THE WITNESS: Yes, I was.

7 CHAIRMAN BAEZ: Thank you.

8 Thereupon,

9 WILLIAM A. SMOTHERMAN

10 was called as a witness on behalf of Tampa Electric
11 Company and, having been first sworn, testified as
12 follows:

13 DIRECT EXAMINATION

14 BY MR. BEASLEY:

15 Q. Sir, would you please state your name, your
16 business address, and your position with Tampa Electric
17 Company?

18 A. My name is William A. Smotherman. My business
19 address is 702 North Franklin Street, Tampa, Florida,
20 33602.

21 Q. Mr. Smotherman, have you read the prepared
22 direct testimony of Mr. David R. Knapp that was filed in
23 this proceeding on April 1 of this year?

24 A. Yes, I have.

25 Q. Do you adopt that testimony as your own?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A. Yes, I do.

MR. BEASLEY: I would ask that Mr. Knapp's testimony be inserted into the record as though read.

CHAIRMAN BAEZ: Without objection, show the direct testimony of David R. Knapp as adopted by William Smotherman entered into the record as though read.

BY MR. BEASLEY:

Q. Mr. Smotherman, do you also adopt and sponsor Exhibit DRK-1 that accompanied Mr. Knapp's testimony?

A. Yes, I do.

MR. BEASLEY: Mr. Chairman, I believe that has been marked as Exhibit 62 in the composite list.

CHAIRMAN BAEZ: I am struggling mightily to find it. I'm sorry. Exhibit what?

MR. BEASLEY: Seventy-two.

CHAIRMAN BAEZ: Oh. So it is.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
PREPARED DIRECT TESTIMONY
OF
DAVID R. KNAPP

Q. Please state your name, business address, occupation and employer.

A. My name is David R. Knapp. My business address is 702 N. Franklin Street, Tampa, Florida 33602. I am employed by Tampa Electric Company ("Tampa Electric" or "company") as a Senior Engineer in the Resource Planning Department.

Q. Please provide a brief outline of your educational background and business experience.

A. I received a Bachelor of Marine Engineering degree in 1986 from the Maine Maritime Academy and a Master of Business Administration from the University of Tampa in 2002. Prior to joining Tampa Electric, I worked in the areas of operations engineering and management. In January 1996, I joined Tampa Electric and worked in field operations and power plant engineering. In April 2000, I transferred to the Resource Planning department where I provide engineering and technical support in the

1 development of Tampa Electric's integrated resource
2 planning process and business planning activities.
3

4 Q. Have you previously testified before the Florida Public
5 Service Commission ("FPSC" or "Commission")?
6

7 A. Yes. On behalf of Tampa Electric, I testified before
8 this Commission in Docket No. 040001-EI regarding the
9 calculation of the Generating Performance Incentive
10 Factor ("GPIF") targets.
11

12 Q. What is the purpose of your testimony?
13

14 A. My testimony presents Tampa Electric's actual performance
15 results from unit equivalent availability and station
16 heat rate used to determine the GPIF for the period
17 January 2004 through December 2004. I will also compare
18 these results to the targets established prior to the
19 beginning of the period.
20

21 Q. Have you prepared an exhibit to support your testimony?
22

23 A. Yes, Exhibit No. _____ (DRK-1), consisting of two
24 documents, was prepared under my direction and
25 supervision. Document No. 1, entitled "Tampa Electric

1 Company, Generating Performance Incentive Factor, January
2 2004 - December 2004, True-up" is consistent with the
3 GPIF Implementation Manual previously approved by the
4 Commission. In addition, Document No. 2 provides the
5 company's Actual Unit Performance Data for the 2004
6 period.

7
8 Q. Which generating units on Tampa Electric's system are
9 included in the determination of the GPIF?

10
11 A. Five of the company's units are included. They are Big
12 Bend Station Units 1, 2, 3, and 4 and Polk Station Unit
13 1.

14
15 Q. Have you calculated the results of Tampa Electric's
16 performance under the GPIF during the January 2004
17 through December 2004 period?

18
19 A. Yes, I have. This is shown on Document No. 1, page 4 of
20 26. Based upon 1.323 GPIF points, the result is a reward
21 amount of \$729,534 for the period.

22
23 Q. Please proceed with your review of the actual results for
24 the January 2004 through December 2004 period.

25

- 1 A. On Document No. 1, page 3 of 26, the actual average
2 common equity for the period is shown on line 14 as
3 \$1,396,325,730. This produces the maximum penalty or
4 reward amount of \$5,514,963 as shown on line 21.
5
- 6 Q. Will you please explain how you arrived at the actual
7 equivalent availability results for the five units
8 included within the GPIF?
9
- 10 A. Yes. Operating data on each of the units is filed
11 monthly with the Commission on the Actual Unit
12 Performance Data form. Additionally, outage information
13 is reported to the Commission on a monthly basis. A
14 summary of this data for the 12 months provides the basis
15 for the GPIF.
16
- 17 Q. Are the equivalent availability results shown on Document
18 No. 1, page 6 of 26, column 2, directly applicable to the
19 GPIF table?
20
- 21 A. No. Adjustments to equivalent availability may be
22 required as noted in section 4.3.3 of the GPIF Manual.
23 The actual equivalent availability including the required
24 adjustment is shown on Document No. 1, page 6 of 26. The
25 necessary adjustments as prescribed in the GPIF Manual

1 are further defined by a letter dated October 23, 1981,
2 from Mr. J. H. Hoffsis of the Commission's Staff. The
3 adjustments for each unit are as follows:
4

5 **Big Bend Unit No. 1**

6 On this unit, 504 planned outage hours were originally
7 scheduled for 2004. Actual outage activities required
8 662.4 planned outage hours. Consequently, the actual
9 equivalent availability of 66.6% is adjusted to 67.9% as
10 shown on Document No. 1, page 7 of 26.
11

12 **Big Bend Unit No. 2**

13 On this unit, 504 planned outage hours were originally
14 scheduled for 2004. Actual outage activities required
15 651.9 planned outage hours. Consequently, the actual
16 equivalent availability of 69.1% is adjusted to 70.4% as
17 shown on Document No. 1, page 8 of 26.
18

19 **Big Bend Unit No. 3**

20 On this unit, 504 planned outage hours were originally
21 scheduled for 2004. Actual outage activities required
22 689.6 planned outage hours. Consequently, the actual
23 equivalent availability of 67.2% is adjusted to 68.8% as
24 shown on Document No. 1, page 9 of 26.
25

1 **Big Bend Unit No. 4**

2 On this unit, 504 planned outage hours were originally
3 scheduled for 2004. Actual outage activities required no
4 planned outage hours. Consequently, the actual
5 equivalent availability of 79.3% is adjusted to 74.8% as
6 shown on Document No. 1, page 10 of 26.

7
8 **Polk Unit No. 1**

9 On this unit, 384 planned outage hours were originally
10 scheduled for 2004. Actual outage activities required
11 279.3 planned outage hours. Consequently, the actual
12 equivalent availability of 90.5% is adjusted to 89.4%, as
13 shown on Document No. 1, page 11 of 26.

14
15 **Q.** How did you arrive at the applicable equivalent
16 availability points for each unit?

17
18 **A.** The final adjusted equivalent availabilities for each
19 unit are shown on Document No. 1, page 6 of 26, column 4.
20 This number is entered into the respective Generating
21 Performance Incentive Point ("GPIP") table for each
22 particular unit on pages 20 of 26 through 24 of 26. Page
23 4 of 26 summarizes the equivalent availability points to
24 be awarded or penalized.

25

- 1 Q. Will you please explain the heat rate results relative to
2 the GPIF?
3
- 4 A. The actual heat rate and adjusted actual heat rate for
5 Big Bend Units 1, 2, 3, and 4 and Polk Unit 1 are shown
6 on Document No. 1, page 6 of 26. The adjustment was
7 developed based on the guidelines of section 4.3.16 of
8 the GPIF Manual. This procedure is further defined by a
9 letter dated October 23, 1981, from Mr. J.H. Hoffsis of
10 the FPSC Staff. The final adjusted actual heat rates are
11 also shown on page 5 of 26. The heat rate value is
12 entered into the respective GPIF table for the particular
13 unit, shown on pages 20 of 26 through 24 of 26. Page 4
14 of 26 summarizes the weighted heat rate and equivalent
15 availability points to be awarded.
16
- 17 Q. What is the overall GPIF for Tampa Electric for the
18 January 2004 through December 2004 period?
19
- 20 A. This is shown on Document No. 1, page 26 of 26.
21 Essentially, the weighting factors shown on page 4 of 26,
22 column 3, plus the equivalent availability points and the
23 heat rate points shown on page 4 of 26, column 4, are
24 substituted within the equation. The resulting value,
25 1.323, is then entered into the GPIF table on page 2 of

1 26. Using linear interpolation, the reward amount is
2 \$729,534.

3

4 **Q.** Does this conclude your testimony?

5

6 **A.** Yes, it does.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. BEASLEY:

2 Q. Mr. Smotherman, did you also prepare and submit
3 the prepared direct testimony of William A. Smotherman
4 filed in this proceeding on September 9, 2005?

5 A. Yes, I did.

6 Q. If I were to ask you the questions contained in
7 that testimony, would your answers be the same?

8 A. Yes, they would.

9 MR. BEASLEY: I would ask that Mr. Smotherman's
10 direct testimony be inserted into the record as though
11 read.

12 CHAIRMAN BAEZ: Without objection, show the
13 direct testimony of William Smotherman entered into the
14 record as though read.

15 BY MR. BEASLEY:

16 Q. And, Mr. Smotherman, did you prepare the exhibit
17 marked WAS-1 that accompanied your prepared direct
18 testimony?

19 A. Yes, I did.

20 MR. BEASLEY: Mr. Chairman, I believe that has
21 been marked as Exhibit 73.

22 CHAIRMAN BAEZ: Correct.

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
PREPARED DIRECT TESTIMONY
OF
WILLIAM A. SMOTHERMAN

Q. Please state your name, business address, occupation and employer.

A. My name is William A. Smotherman. My mailing and business address is 702 N. Franklin Street, Tampa, Florida 33602. I am employed by Tampa Electric Company ("Tampa Electric" or "company") as Director of the Resource Planning Department.

Q. Please provide a brief outline of your educational background and business experience.

A. I received a Bachelor of Electrical Engineering degree in 1986 from the University of South Florida. In May 1986, I joined Tampa Electric as an associate engineer, and I have worked in the areas of system planning, commercial/ industrial account management and wholesale power marketing. In February 2001, I was promoted to Director, Resource Planning. My present responsibilities include the areas of system reliability, generation expansion and

1 system fuel and purchased power forecasting and related
2 economic analyses.

3
4 Q. What is the purpose of your testimony?

5
6 A. My testimony describes Tampa Electric's maintenance
7 planning processes and presents Tampa Electric's
8 methodology for determining the various factors required
9 to compute the Generating Performance Incentive Factor
10 ("GPIF") as ordered by the Commission.

11
12 Q. Have you prepared any exhibits to support your testimony?

13
14 A. Yes, Exhibit No. _____ (WAS-1), consisting of two
15 documents, was prepared under my direction and
16 supervision. Document No. 1 contains the GPIF schedules.
17 Document No. 2 is a summary of the GPIF targets for the
18 2006 period.

19
20 **GPIF Calculations**

21 Q. Which generating units on Tampa Electric's system are
22 included in the determination of the GPIF?

23
24 A. Four of the company's coal-fired units and one integrated
25 gasification combined cycle unit are included. These are

1 Big Bend Station Units 1 through 4 and Polk Power Station
2 Unit 1.

3
4 Q. Do the exhibits you have prepared comply with Commission-
5 approved GPIF methodology?

6
7 A. Yes, the documents are consistent with the GPIF
8 Implementation Manual previously approved by the
9 Commission, with the exception of the criterion that the
10 company shall include generating units that will represent
11 not less than 80 percent of projected system net
12 generation.

13
14 Q. Why does Tampa Electric not include units that represent
15 80 percent of projected system net generation?

16
17 A. Due to the repowering of Gannon Units 5 and 6 to H. L.
18 Culbreath Bayside ("Bayside") Units 1 and 2, the remaining
19 GPIF units do not represent 80 percent of projected system
20 net generation. Although Bayside Units 1 and 2 began
21 commercial operation in 2003 and 2004, respectively, the
22 repowered units are not included in the GPIF calculations
23 because the company does not have the historical
24 operational data required by the GPIF Implementation
25 Manual to set GPIF targets. Tampa Electric has no other

1 base load generating units to substitute for Gannon Units
2 5 and 6. Section 3.2 of the GPIF Implementation Manual
3 states that the Commission will approve exclusion of units
4 from the calculation of the GPIF on a case-by-case basis,
5 and the Commission approved this exception for Tampa
6 Electric's 2005 projected GPIF. Similarly, Tampa Electric
7 requests approval of its 2006 GPIF calculation excluding
8 the repowered units.

9
10 Q. Please describe how Tampa Electric developed the various
11 factors associated with the GPIF.

12
13 A. Targets were established for equivalent availability and
14 heat rate for each unit considered for the 2006 period. A
15 range of potential improvements and degradations were
16 determined for each of these parameters.

17
18 Q. How were the target values for unit availability
19 determined?

20
21 A. The Planned Outage Factor or POF and the Equivalent
22 Unplanned Outage Factor or EUOF were subtracted from 100
23 percent to determine the target Equivalent Availability
24 Factor or EAF. The factors for each of the five units
25 included within the GPIF are shown on page 5 of Document

1 No. 1.

2
3 To give an example for the 2006 period, the projected
4 Equivalent Unplanned Outage Factor for Big Bend Unit 4 is
5 22.37 percent, and the Planned Outage Factor is 5.75
6 percent. Therefore, the target equivalent availability
7 factor for Big Bend Unit 4 equals 71.88 percent or:

$$8 \quad 100\% - [(22.37 + 5.75\%)] = 71.88\%$$

10
11 This is shown on page 4, column 3 of Document No. 1.

12
13 Q. How was the potential for unit availability improvement
14 determined?

15
16 A. Maximum equivalent availability is derived by using the
17 following formula:

$$18 \quad \text{EAF}_{\text{MAX}} = 100\% - [0.8 (\text{EUOF}_T) + 0.95 (\text{POF}_T)]$$

20
21 The factors included in the above equations are the same
22 factors that determine the target equivalent availability.
23 To determine the maximum incentive points, a 20 percent
24 reduction in Equivalent Forced Outage Factor or EUOF and
25 Equivalent Maintenance Outage Factor or EMOF, plus a five

1 percent reduction in the Planned Outage Factor are
 2 necessary. Continuing with the Big Bend Unit 4 example:

$$3 \quad \text{EAF}_{\text{MAX}} = 100\% - [0.8 (22.37\%) + 0.95 (5.75\%)] = 76.64\%$$

4
 5
 6 This is shown on page 4, column 4 of Document No. 1.

7
 8 **Q.** How was the potential for unit availability degradation
 9 determined?

10
 11 **A.** The potential for unit availability degradation is
 12 significantly greater than the potential for unit
 13 availability improvement. This concept was discussed
 14 extensively during the development of the incentive. To
 15 incorporate this biased effect into the unit availability
 16 tables, Tampa Electric uses a potential degradation range
 17 equal to twice the potential improvement. Consequently,
 18 minimum equivalent availability is calculated using the
 19 following formula:

$$20 \quad \text{EAF}_{\text{MIN}} = 100\% - [1.4 (\text{EUOF}_T) + 1.10 (\text{POF}_T)]$$

21
 22
 23 Again, continuing with the Big Bend Unit 4 example,

$$24 \quad \text{EAF}_{\text{MIN}} = 100\% - [1.4 (22.37\%) + 1.10 (5.75\%)] = 62.36\%$$

1 The equivalent availability maximum and minimum for the
2 other four units are computed in a similar manner.

3
4 Q. How did Tampa Electric determine the Planned Outage,
5 Maintenance Outage, and Forced Outage Factors?

6
7 A. The company's planned outages for January 2006 through
8 December 2006 are shown on page 17 of Document No. 1. Two
9 GPIF units have a major outage (28 days or greater) in
10 2006; therefore, two Critical Path Method diagrams are
11 provided. Planned Outage Factors are calculated for each
12 unit. For example, Big Bend Unit 4 is scheduled for a
13 planned outage from March 20, 2006 to April 9, 2006.
14 There are 504 planned outage hours scheduled for the 2006
15 period, and a total of 8,760 hours during this 12-month
16 period. Consequently, the Planned Outage Factor for Big
17 Bend Unit 4 is 5.75 percent or:

$$18$$

$$19 \quad \frac{504}{8,760} \times 100\% = 5.75\%$$

$$20$$

21
22 The factor for each unit is shown on pages 5 and 12
23 through 16 of Document No. 1. Big Bend Unit 1 has a
24 Planned Outage Factor of 15.34 percent. Big Bend Unit 2
25 has a Planned Outage Factor of 3.84 percent. Big Bend 3

1 has a Planned Outage Factor of 9.59 percent. Polk Unit 1
2 has a Planned Outage Factor of 4.38 percent.

3
4 Q. How did you determine the Forced Outage and Maintenance
5 Outage Factors for each unit?

6
7 A. Graphs for both factors, adjusted for planned outages,
8 versus time were prepared. Monthly data and 12-month
9 rolling average data were recorded. For each unit the
10 most current 12-month ending value, June 2005, was used as
11 a basis for the projection. All projected factors are
12 based upon historical unit performance. These target
13 factors are additive and result in an Equivalent Unplanned
14 Outage Factor of 22.37 percent for Big Bend Unit 4. The
15 Equivalent Unplanned Outage Factor for Big Bend Unit 4 is
16 verified by the data shown on page 15, lines 3, 5, 10 and
17 11 of Document No. 1 and calculated using the following
18 formula:

$$19 \quad \text{EUOF} = \frac{(\text{EFOH} + \text{EMOH})}{\text{Period Hours}} \times 100$$

22 Or

$$23 \quad \text{EUOF} = \frac{(1,931 + 29.0)}{8,760} \times 100 = 22.37\%$$

24

1 Relative to Big Bend Unit 4, the EUOF of 22.37 percent
2 forms the basis of the equivalent availability target
3 development as shown on pages 4 and 5 of Document No. 1.
4

5 Big Bend Unit 1

6 The projected Equivalent Unplanned Outage Factor for this
7 unit is 21.03 percent. The unit will have a planned
8 outage in 2006, and the Planned Outage Factor is 15.34
9 percent. Therefore, the target equivalent availability
10 for this unit is 63.63 percent.
11

12 Big Bend Unit 2

13 The projected Equivalent Unplanned Outage Factor for this
14 unit is 18.89 percent. The unit will have a planned
15 outage in 2006, and the Planned Outage Factor is 3.84
16 percent. Therefore, the target equivalent availability
17 for this unit is 77.27 percent.
18

19 Big Bend Unit 3

20 The projected Equivalent Unplanned Outage Factor for this
21 unit is 34.21 percent. The unit will have a planned
22 outage in 2006, and the Planned Outage Factor is 9.59
23 percent. Therefore, the target equivalent availability
24 for this unit is 56.20 percent.
25

1 A. The adjustment makes the factors more accurate and
2 comparable. Obviously, a unit in a planned outage stage
3 or reserve shutdown stage will not incur a forced or
4 maintenance outage. Since the units in the GPIF are
5 usually base load units, reserve shutdown is generally not
6 a factor.

7
8 To demonstrate the effects of a planned outage, note the
9 Equivalent Unplanned Outage Rate and Equivalent Unplanned
10 Outage Factor for Big Bend Unit 4 on page 15 of Document
11 No. 1. During the months of January, February, and May
12 through December, the Equivalent Unplanned Outage Rate and
13 the Equivalent Unplanned Outage Factor are equal. This is
14 because no planned outages are scheduled during these
15 months. During the months of March and April, the
16 Equivalent Unplanned Outage Rate exceeds Equivalent
17 Unplanned Outage Factor due to the scheduling of a planned
18 outage. Therefore, the adjusted factors apply to the
19 period hours after the planned outage hours have been
20 extracted.

21
22 Q. Does this mean that both rate and factor data are used in
23 calculated data?

24
25 A. Yes. Rates provide a proper and accurate method of

1 determining the unit parameters, which are subsequently
2 converted to factors. Therefore,

$$3 \qquad \qquad \qquad 4 \qquad \qquad \qquad 5 \qquad \qquad \qquad 6 \qquad \qquad \qquad 7 \qquad \qquad \qquad 8 \qquad \qquad \qquad 9 \qquad \qquad \qquad 10 \qquad \qquad \qquad 11 \qquad \qquad \qquad 12 \qquad \qquad \qquad 13 \qquad \qquad \qquad 14 \qquad \qquad \qquad 15 \qquad \qquad \qquad 16 \qquad \qquad \qquad 17 \qquad \qquad \qquad 18 \qquad \qquad \qquad 19 \qquad \qquad \qquad 20 \qquad \qquad \qquad 21 \qquad \qquad \qquad 22 \qquad \qquad \qquad 23 \qquad \qquad \qquad 24 \qquad \qquad \qquad 25$$
$$FOF + MOF + POF + EAF = 100\%$$

6 Since factors are additive, they are easier to work with
7 and to understand.

9 Q. Has Tampa Electric prepared the necessary heat rate data
10 required for the determination of the GPIF?

12 A. Yes. Target heat rates as well as ranges of potential
13 operation have been developed as required.

15 Q. How were these targets determined?

17 A. Net heat rate data for the three most recent July through
18 June annual periods formed the basis of the target
19 development. The historical data and the target values
20 are analyzed to assure applicability to current conditions
21 of operation. This provides assurance that any periods of
22 abnormal operations or equipment modifications having
23 material effect on heat rate can be taken into
24 consideration.

1 Q. How were the ranges of heat rate improvement and heat rate
2 degradation determined?

3

4 A. The ranges were determined through analysis of historical
5 net heat rate and net output factor data. This is the
6 same data from which the net heat rate versus net output
7 factor curves have been developed for each unit. This
8 information is shown on pages 25 through 29 of Document
9 No. 1.

10

11 Q. Please elaborate on the analysis used in the determination
12 of the ranges.

13

14 A. The net heat rate versus net output factor curves are the
15 result of a first order curve fit to historical data. The
16 standard error of the estimate of this data was
17 determined, and a factor was applied to produce a band of
18 potential improvement and degradation. Both the curve fit
19 and the standard error of the estimate were performed by
20 computer program for each unit. These curves are also
21 used in post-period adjustments to actual heat rates to
22 account for unanticipated changes in unit dispatch.

23

24 Q. Please summarize your heat rate projection (Btu/Net kWh)
25 and the range about each target to allow for potential

1 improvement or degradation for the 2006 period.

2
3 **A.** The heat rate target for Big Bend Unit 1 is 10,848 Btu/Net
4 kWh. The range about this value, to allow for potential
5 improvement or degradation, is ± 514 Btu/Net kWh. The heat
6 rate target for Big Bend Unit 2 is 10,518 Btu/Net kWh with
7 a range of ± 436 Btu/Net kWh. The heat rate target for Big
8 Bend Unit 3 is 10,904 Btu/Net kWh, with a range of ± 718
9 Btu/Net kWh. The heat rate target for Big Bend Unit 4 is
10 10,672 Btu/Net kWh with a range of ± 595 Btu/Net kWh. The
11 heat rate target for Polk Unit 1 is 10,497 Btu/Net kWh
12 with a range of $\pm 1,167$ Btu/Net kWh. A zone of tolerance of
13 ± 75 Btu/Net kWh is included within the range for each
14 target. This is shown on page 4, and pages 7 through 11
15 of Document No. 1.

16
17 **Q.** Do the heat rate targets and ranges in Tampa Electric's
18 projection meet the criteria of the GPIF and the
19 philosophy of the Commission?

20
21 **A.** Yes.

22
23 **Q.** After determining the target values and ranges for average
24 net operating heat rate and equivalent availability, what
25 is the next step in the GPIF?

1 A. The next step is to calculate the savings and weighting
2 factor to be used for both average net operating heat rate
3 and equivalent availability. This is shown on pages 7
4 through 11. The baseline production costing analysis was
5 performed to calculate the total system fuel cost if all
6 units operated at target heat rate and target availability
7 for the period. This total system fuel cost of
8 \$959,068,300 is shown on page 6, column 2.

9
10 Multiple production costing simulations were then
11 performed to calculate total system fuel cost with each
12 unit individually operating at maximum improvement in
13 equivalent availability and each station operating at
14 maximum improvement in average net operating heat rate.
15 The respective savings are shown on page 6, column 4 of
16 Document No. 1.

17
18 After all of the individual savings are calculated, column
19 4 totals \$47,304,788 which reflects the savings if all of
20 the units operated at maximum improvement. A weighting
21 factor for each parameter is then calculated by dividing
22 individual savings by the total. For Big Bend Unit 1, the
23 weighting factor for equivalent availability is 12.33
24 percent as shown in the right-hand column on page 6.
25 Pages 7 through 11 of Document No. 1 show the point table,

1 the Fuel Savings/(Loss) and the equivalent availability or
2 heat rate value. The individual weighting factor is also
3 shown. For example, on Big Bend Unit 4, page 10, if the
4 unit operates at 76.6 percent equivalent availability,
5 fuel savings would equal \$6,443,000, and ten equivalent
6 availability points would be awarded.

7
8 The GPIF Reward/Penalty Table on page 2 is a summary of
9 the tables on pages 7 through 11. The left-hand column of
10 this document shows the incentive points for Tampa
11 Electric. The center column shows the total fuel savings
12 and is the same amount as shown on page 6, column 4, or
13 \$47,304,788. The right hand column of page 2 is the
14 estimated reward or penalty based upon performance.

15
16 Q. How was the maximum allowed incentive determined?

17
18 A. Referring to page 3, line 14, the estimated average common
19 equity for the period January through December 2006 is
20 \$1,461,702,488. This produces the maximum allowed
21 jurisdictional incentive of \$5,802,787 shown on line 21.

22
23 Q. Are there any other constraints set forth by the
24 Commission regarding the magnitude of incentive dollars?

1 A. Yes. Incentive dollars are not to exceed 50 percent of
2 fuel savings. Page 2 of Document No. 1 demonstrates that
3 this constraint is met.

4
5 Q. Please summarize your testimony on the GPIF.

6
7 A. Tampa Electric has complied with the Commission's
8 directions, philosophy, and methodology in its
9 determination of the GPIF. The GPIF is determined by the
10 following formula for calculating Generating Performance
11 Incentive Points (GPIP):

$$\begin{aligned}
 \text{GPIP} = & (0.1233 \text{ EAP}_{\text{BB1}} + 0.1147 \text{ EAP}_{\text{BB2}} \\
 & + 0.1905 \text{ EAP}_{\text{BB3}} + 0.1362 \text{ EAP}_{\text{BB4}} \\
 & + 0.1020 \text{ EAP}_{\text{PK1}} + 0.0549 \text{ HRP}_{\text{BB1}} \\
 & + 0.0589 \text{ HRP}_{\text{BB2}} + 0.0645 \text{ HRP}_{\text{BB3}} \\
 & + 0.0849 \text{ HRP}_{\text{BB4}} + 0.0700 \text{ HRP}_{\text{PK}}
 \end{aligned}$$

12
13
14
15
16
17
18
19 Where:

20 GPIF = Generating Performance Incentive Points.

21 EAP = Equivalent Availability Points awarded/deducted for
22 Big Bend Units 1, 2, 3, and 4 and Polk Unit 1.

23 HRP = Average Net Heat Rate Points awarded/deducted for
24 Big Bend Units 1, 2, 3, and 4 and Polk Unit 1.

25

1 Q. Have you prepared a document summarizing the GPIF targets
2 for the January 2006 - December 2006 period?

3
4 A. Yes. Document No. 2 entitled "Summary of GPIF Targets"
5 provides the availability and heat rate targets for each
6 unit.

7
8 **Maintenance Planning**

9 Q. What does Tampa Electric do to complete planned
10 maintenance outages on schedule and within budget?

11
12 A. To complete planned maintenance outages on schedule and
13 within budget Tampa Electric: (1) develops a comprehensive
14 scope of work before every planned outage that identifies
15 time, material and manpower requirements; (2) procures
16 materials and contractor labor; (3) assigns outage
17 coordinators, project managers and business plan managers
18 to manage and coordinate the various aspects of the
19 outage; and (4) holds regular meetings with the
20 appropriate personnel prior to and during the planned
21 outage to ensure that the outage schedule is being met,
22 issues are resolved, and costs are being appropriately
23 managed.

24
25 Q. What actions does Tampa Electric take to minimize the

1 occurrence, duration and magnitude of unplanned outages?

2
3 **A.** To minimize the occurrence, duration and magnitude of
4 unplanned outages Tampa Electric: (1) uses a Preventative
5 Maintenance ("PM") program that incorporates the Original
6 Equipment Manufacturer's maintenance specifications,
7 vibration analysis, oil sampling, temperature monitoring,
8 and thermograph equipment; (2) reviews historical
9 equipment unplanned outages; (3) assigns project managers
10 and outage coordinators to manage outages; and (4)
11 schedules planned outages on equipment incorporating a
12 review of the outages during the prior year that result in
13 the largest reduction in unit generation. These tools
14 allow Tampa Electric to determine appropriate actions
15 needed to develop equipment repair strategies, predict
16 future maintenance requirements, appropriately manage the
17 impact of unplanned outages, and return units to service
18 as soon as practicable.

19
20 **Q.** How does Tampa Electric optimize the equivalent
21 availability factors and heat rates of its GPIF units?

22
23 **A.** Above I described actions to complete planned maintenance
24 on time and to minimize the occurrence and duration of
25 unplanned maintenance that directly affect the unit

1 equivalent availability factors. While planned
2 maintenance decreases equivalent availability factors in
3 the short-term, in the long run, maintenance work helps
4 Tampa Electric manage unit performance and availability by
5 decreasing the likelihood of future unplanned outages due
6 to the failure of equipment repaired during the planned
7 maintenance. Tampa Electric optimizes the equivalent
8 availability factors of its units by predicting future
9 maintenance requirements and developing advantageous
10 equipment repair and unit operating strategies using the
11 tools, processes and procedures outlined above.

12
13 Tampa Electric optimizes GPIF unit heat rates by: (1)
14 running these units at relatively higher load levels for
15 long periods of time, as the system allows, to avoid the
16 inefficiencies associated with starting and cycling a unit
17 and operating a unit at minimum load levels that are less
18 efficient; and (2) incorporating a review of the largest
19 unit heat rate impacts in the outage planning process.

20
21 **Polk Unit 1 Outage**

22 **Q.** What is the status of Tampa Electric's investigation of
23 the failure that caused an extended unplanned outage at
24 Polk Unit 1?
25

1 A. Tampa Electric consulted with its service provider,
2 General Electric International ("GE"), with regard to the
3 Polk Unit 1 unplanned outage that began on
4 January 18, 2005. Tampa Electric has been advised that
5 the outage was the result of a physical failure that
6 resulted in extensive damage to the unit's air compressor.
7 The investigation determined the compressor discharge case
8 experienced higher than designed creep, which is high
9 temperature progressive deformation of a material at
10 constant stress. The higher than designed creep resulted
11 in reduced clearances between fixed and rotating air
12 compressor components. When the design limits of the
13 fixed components were exceeded, the fixed vane and
14 rotating blades made contact, causing extensive compressor
15 damage.

16
17 Q. Has Tampa Electric evaluated all avenues of redress for
18 replacement fuel and purchased power costs for the air
19 compressor failure at Polk Unit 1?
20

21 A. Yes, Tampa Electric has been and continues to be in
22 communication with insurers and GE, who is both the
23 manufacturer and service provider for the air compressor.
24 However, under the company's insurance policy and the
25 contract for purchase of the equipment, Tampa Electric is

1 not entitled to recovery for consequential damages such as
2 replacement fuel and purchased power costs. In my
3 experience at Tampa Electric, indirect damages of these
4 sorts are not typically covered by insurance, construction
5 contracts, or service agreements because covering the risk
6 of indirect damages would be cost-prohibitive or
7 impracticable.

8
9 Q. Does this conclude your testimony?

10
11 A. Yes.
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 BY MR. BEASLEY:

2 Q. Mr. Smotherman, would you please summarize your
3 direct testimony?

4 A. Yes. My name is William A. Smotherman. I am
5 Director of Tampa Electric's Resource Planning Department.

6 For this hearing, I have adopted the prepared
7 testimony and Exhibit DRK-1 of Tampa Electric witness
8 David Knapp concerning the calculations of the GPIF reward
9 for Tampa Electric's unit operations during 2004. The
10 calculations for 2004 result in a reward of \$729,534,
11 which is reflected in the 2006 projected fuel factor.

12 My direct testimony presents for the
13 Commission's review and approval Tampa Electric's proposed
14 2006 GPIF targets and ranges against which actual
15 performance for 2006 will be measured. The 2006 targets
16 and ranges were developed in accordance with the
17 procedures in Section 4.3 of the Commission's Generation
18 Performance Incentive Implementation Manual as previously
19 approved by the Commission. The 2006 targets and ranges
20 are set forth in Attachment A in the Prehearing Order.

21 That concludes my summary of the testimony.

22 MR. BEASLEY: Thank you. We would submit
23 Mr. Smotherman for questions.

24 CHAIRMAN BAEZ: Ms. Christensen.

25

CROSS-EXAMINATION

1
2 BY MS. CHRISTENSEN:

3 Q. Good afternoon, Mr. Smotherman. Your testimony
4 addresses the GPIF performance of TECO; correct?

5 A. Correct.

6 Q. Okay. Can you please tell us what GPIF stands
7 for?

8 A. Basically, it stands for generation performance
9 incentive factor.

10 Q. Okay. And which of TECO's generating plants are
11 included in the GPIF calculation for this year's factors?

12 A. The units included in our factor for this year
13 are the Big Bend Station units, Big Bend Station Unit 1,
14 2, 3, and 4 -- those are coal-fired generators -- as well
15 as our Polk Unit 1, which is an IGCC coal-fired generator.

16 Q. And by -- is that IGC -- I'm sorry. Is that --

17 A. It's an integrated gasification combined cycle
18 unit.

19 Q. Okay. So that uses coal?

20 A. It uses coal as a feedstock to create syngas,
21 which is burned in the combined cycle.

22 Q. Okay. And the Polk plant is located at Bayside
23 in Tampa; am I correct?

24 A. The Polk plant is actually located in Polk
25 County. Bayside is our combined cycle unit, natural

1 gas-fired. It's not in the GPIF presently.

2 Q. Okay. So you have natural gas generation at
3 Bayside?

4 A. That is correct.

5 Q. And that was put into service in 2004; correct?

6 A. 2003 and 2004.

7 Q. Okay. Now, the Big Bend coal plants, do they
8 account for approximately half of TECO's generation?

9 A. Approximately, yes.

10 Q. And let me ask you, you eliminated Bayside from
11 this year's calculation; correct?

12 A. Bayside is not included in this year's
13 calculation; that is correct.

14 Q. And it's excluded because?

15 A. It is excluded because we have not received
16 enough historical data to include that unit as of yet. We
17 expect that Bayside 1 would be included in the 2007
18 factor, because it was brought on in 2003. And the
19 following year, in 2008, in fact, we expect potentially to
20 include Bayside Unit 2.

21 Q. Okay. Would you agree that the GPIF formula is
22 used to provide an incentive to the companies for good
23 performance in generating plants?

24 A. It's used as an incentive for performance
25 improvements.

1 **Q.** And the formula for calculating GPIF also
2 provides penalties for poor performance; is that correct?

3 **A.** Yes, it does provide penalties for a reduction
4 in performance.

5 **Q.** And those calculations are based on formulas
6 found in the GPIF manual; correct?

7 **A.** That is correct.

8 **Q.** And can you tell us what is the source of the
9 manual?

10 **A.** The source of the manual? The manual was
11 developed, I believe, back in 1981 during a hearing with
12 this Commission, and that was the feed for the
13 development. If I -- I was not at the company at the
14 time, but I know it was a long hearing. It started in --
15 I believe it was in April or May and ran through like
16 September.

17 **Q.** Okay. But that is not -- it's not codified in a
18 rule; correct?

19 **A.** I don't -- I wouldn't be the appropriate person
20 to answer that.

21 **Q.** The GPIF manual sets the conditions for
22 including and excluding certain plants; is that correct?

23 **A.** That is correct.

24 **Q.** And it shows how to make the calculations to
25 measure performance; right?

1 **A.** That is correct.

2 **Q.** And the GPI measurements of performance are the
3 EAF and the heat rate; right?

4 **A.** That is correct.

5 **Q.** What does EAF stand for?

6 **A.** EAF stands for equivalent availability factor.

7 **Q.** Now, am I correct that if you have no outages
8 during a given time period, the measurement time period,
9 the EAF for that period would be 100 percent? Is that
10 correct?

11 **A.** That would be correct.

12 **Q.** And the EAF is calculated by subtracting the
13 planned outage factors and the equivalent unplanned outage
14 factors from 100 percent to determine the target EAF; is
15 that correct?

16 **A.** That is correct.

17 **Q.** Okay. Looking at pages 9 through 10 of your
18 testimony, you have listed the plants that are included in
19 the GPIF calculation for this year; correct?

20 **A.** Yes.

21 **Q.** And would you agree that for Big Bend Units 1
22 through 4 and Polk Unit 1, your have more unplanned outage
23 -- your unplanned outages are greater than your planned
24 outages; is that correct?

25 **A.** That would be correct.

1 **Q.** Okay. And for Big Bend 1, your unplanned
2 outages is 21.03 percent, and your planned outages is
3 15.34 percent; correct?

4 **A.** Yes. The unplanned outage factor for Big Bend 1
5 is 21.03, and the planned outage factor is 15.34.

6 **Q.** Okay. And for Big Bend 2, the unplanned outages
7 is 18.89 percent, whereas the planned outages is 3.84
8 percent?

9 **A.** That is correct.

10 **Q.** And for Big Bend 2, the unplanned outage
11 percentage was 34.21 percent, and the planned outages is
12 9.59 percent; correct?

13 MR. BEASLEY: Big Bend Unit 2, you said, or 3?

14 MS. CHRISTENSEN: Three.

15 THE WITNESS: That is correct.

16 BY MS. CHRISTENSEN:

17 **Q.** And Big Bend 4 is 22.37 percent for unplanned
18 and 5.75 for planned; correct?

19 **A.** That is correct.

20 **Q.** And for Polk, the unplanned outage is 35.28
21 percent, and planned is 4.38 percent; correct?

22 **A.** Correct.

23 **Q.** Okay. Now, wouldn't you agree that it would be
24 more efficient to deal with the maintenance needs of a
25 given plant on a planned basis?

1 **A.** The unplanned outage rates that are shown there,
2 or the targets that are shown there are based on
3 historical data, not on how we plan on dealing with the
4 outages.

5 **Q.** Right. But if you were planning -- for
6 planning, the most efficient means of operating a plant is
7 to try and have planned outages as opposed to unplanned
8 outages? You would agree with that?

9 **A.** You would like to have very few unplanned
10 outages, I agree, but essentially, you cannot plan for
11 every eventuality.

12 **Q.** And am I correct that when you take down a
13 plant, you try and fix everything possible and do all your
14 preventative maintenance and replacement of all the worn
15 out piece parts at one time during that planned outage?

16 **A.** When you do a planned outage, essentially, it
17 requires that you have a good understanding of what you're
18 going to do during that outage, because you've got to
19 order equipment and replacement parts, et cetera, prior to
20 actually doing the outage itself. So from that
21 perspective, you can only do certain things. And there's
22 also a time element related to that, because you've got a
23 system with multiple units on it, and you can only have so
24 many units down at one time. So it will limit the amount
25 of time and the amount of what you know is wrong versus

1 what crops up that you didn't know about.

2 Q. Right. But you try and take care of everything
3 that you know about as much as possible during planned
4 outages; correct?

5 A. To the extent that we can.

6 Q. Okay. And when you take one of these plant
7 units down for major outages, how long on average are
8 those units usually out of service?

9 A. For a major outage, which we do our major
10 outages roughly once every four years, and those are
11 normally about eight weeks in span.

12 Q. Now, you could also do your plant maintenance
13 just by fixing the units on an as-needed basis, but you
14 would agree that that would be the least efficient method
15 for maintaining your plants; correct?

16 A. It depends on the situation. If you're in a
17 situation where you have something come up that you
18 weren't aware of, you may be in a situation where you've
19 got to repair, because you want to make sure you stay
20 online or maximize your time online to generate as much
21 power as possible. To the extent that you know about a
22 problem, you would do a planned outage to address that.
23 But if you don't know about it and it were to crop up on
24 you, you would have to do what you could to get the unit
25 back online.

1 **Q.** But I guess conversely, you could have a plan
2 where you just fixed the units as problems cropped up;
3 correct?

4 **A.** You could.

5 **Q.** But that would be less efficient than having
6 planned outages; am I correct?

7 **A.** I don't know if that would be less efficient or
8 not less efficient. It would be less desirable from my
9 perspective.

10 **Q.** Okay. But either way you maintain your plant,
11 the company budgets and spends on O&M to keep the plant
12 working; correct?

13 **A.** That is correct.

14 **Q.** And you would agree that generally the amount of
15 O&M spent on a plant impacts that plant's efficiency?

16 **A.** Over time it will impact the plant's efficiency,
17 or could.

18 **Q.** Can you explain how the heat rate is calculated?

19 **A.** Heat rate is a measure of the power plant's
20 efficiency. So a heat rate that we generally show in the
21 GPIF is Btu, or fuel in, fuel energy in, divided by KWH,
22 or power that is actually produced by the plant out. So a
23 lower heat rate means that a plant has a better
24 efficiency. A higher heat rate means a plant has a worse
25 efficiency.

1 **Q.** Okay. Am I correct that the Commission is being
2 asked to approve TECO's requested GPIF targets for EAF and
3 heat rate for the 2006 time frame; correct?

4 **A.** That is correct.

5 **Q.** Now, looking at your testimony, on page 2 of
6 your exhibit, it appears from this exhibit that if you
7 meet your targets for 2006, you incur no reward or
8 penalty; is that correct?

9 **A.** That is correct.

10 **Q.** And under this exhibit, under the GPIF you're
11 proposing for this year, the maximum reward and penalties
12 in 2006 are 5.8 million; correct?

13 **A.** That is correct.

14 **Q.** Now, on page 4 of the exhibit, it shows the EAF
15 targets for all the plants; correct?

16 **A.** Correct.

17 **Q.** And if you add those numbers together, the total
18 GPIF for the system is 66.67 percent; is that correct?

19 **A.** The 66.67 is the weighting factor for the EAF.

20 **Q.** And most of that 66.67 percent is comprised of
21 the Big Bend coal units; correct?

22 **A.** Yes, it is.

23 **Q.** Now, is the EAF target for TECO's Big Bend coal
24 units higher or lower than Gulf's coal units' target --
25 coal unit targets requested in this docket?

1 **A.** I do not know what Gulf's units' targets are.

2 **Q.** Okay. Subject to check, would you agree that
3 Gulf's EAF targets, which are greater than 80 percent, are
4 higher than the target set that's being requested for TECO
5 in this proceeding?

6 **A.** Subject to check, yes.

7 **Q.** Okay. And are you familiar with what Progress's
8 requested GPIF targets are?

9 **A.** No, I'm not familiar with Progress's targets.

10 **Q.** Subject to check, would you agree that
11 Progress's GPIF targets that are greater than 80 percent
12 are higher than what TECO is requesting for GPIF targets
13 in this docket?

14 **A.** Subject to check, yes.

15 **Q.** Now, you provided a late-filed deposition
16 exhibit, I believe, that shows -- I think it's Late-filed
17 Deposition Exhibit Number 3, page 2 of 2. Do you have
18 that, or I can -- if I can approach the witness, I'll pass
19 out the diagram.

20 (Document distributed.)

21 BY MS. CHRISTENSEN:

22 **Q.** Mr. Smotherman, are you familiar with this
23 graph?

24 **A.** Yes, I am.

25 **Q.** Okay. And this is a graph representing the 1999

1 through 2004 Big Bend Station historical EAF; is that
2 correct?

3 **A.** That is correct.

4 **Q.** Now, can you tell me, what was the EAF, the
5 historical EAF for 1999?

6 **A.** The historical EAF for 1999 was approximately 75
7 percent.

8 **Q.** And according to the graph, what was the EAF for
9 2000?

10 **A.** The EAF for 2000 was approximately 81 percent.
11 I'm just judging by the graph that's on here.

12 **Q.** Okay. Do you recall from your memory what your
13 EAF was in 1998, although it's not on the graph?

14 **A.** No, I do not.

15 **Q.** Okay. Now, would you agree based on the graph
16 that TECO's historical EAFs for the Big Bend units have
17 been over 70 percent for the years 1999 through 2001?

18 **A.** Yes, I do.

19 **Q.** Now, what are the EAFs for 2002 and 2003,
20 according to the graph?

21 **A.** The EAFs for 2002 and 2003 are approximately
22 65 percent.

23 **Q.** And in 2004, would you agree that the EAF has
24 risen again above 70 percent?

25 **A.** Yes.

1 **Q.** Now, looking at the graph, it appears the 2002
2 and 2003 years have an anomaly and show a negative trend.
3 Would you agree with that?

4 **A.** They are lower than the rest of the numbers on
5 the graph. I would not agree that they're necessarily an
6 anomaly. What occurred in 2002 and 2003, essentially, in
7 the year 2000 relatively we began a lot of our compliance
8 efforts on the Big Bend Station associated with our
9 consent decree, and you see some of the impact of that on
10 the EAFs that occurred subsequent to that period and -- as
11 we have suffered a little bit on our reliability because
12 we added complexity to the operation of those plants.

13 **Q.** Are you familiar with the Commission staff
14 member Sid Matlock's direct testimony related to GPIF --

15 **A.** Yes.

16 **Q.** -- for TECO this year?

17 **A.** Yes.

18 **Q.** And would you agree that his basic
19 recommendation is to account for the increased negative
20 trend in forced and maintenance outages for the past five
21 years? Let me rephrase that. Would you agree that his
22 testimony recommends that in setting the targets, that the
23 Commission take into account the negative trends created
24 by the increase in forced and maintenance outages over the
25 past five years?

1 **A.** I don't know. I can't speak to whether his
2 testimony directly says it's to address those trends. I
3 know his testimony essentially suggests the exclusion of
4 particular forced outage, equivalent forced outage rate
5 months or equivalent maintenance outage rate months.

6 **Q.** And would you agree that he's recommending that
7 since the increase in the forced outages and maintenance
8 outages, especially in the 2002 and 2003 time frame, are
9 likely to -- unlikely, excuse me, to continue in the near
10 future, that the 2006 targets be set higher by excluding
11 outages greater than 40 percent?

12 **A.** I know he suggests that they be excluded. I
13 don't know that it suggests that it be higher. But from a
14 practical standpoint, when we modified those units, which
15 we have modified those Big Bend units, the potential still
16 exists for that to occur. It does not mean that it will
17 not occur ever again. In fact, we have some more
18 environmental-related projects that we will be pursuing
19 subject to the 2007 to 2010 time period.

20 **Q.** Now, isn't it correct that the adjustment that's
21 recommended by Mr. Matlock is an adjustment that is
22 contemplated by the GPIF guideline for TECO, 4.3.1, the
23 equivalent availability targets, which says in part that
24 this average may be modified due to numerous
25 circumstances, such as recent trends, equipment

1 modifications or changes, unit rating changes, et cetera?

2 **A.** I believe the application of that suggested
3 language as you put it there is in reverse of how it
4 should be applied. The GPIF is pretty straightforward in
5 its applications of when you should make modifications.
6 The general rules would be as stated in the manual,
7 natural disasters, planned outages, reserve shutdown
8 hours, or situations where the unit has been shut off or
9 been required to run longer due to regulatory agencies'
10 requirements.

11 Now, generally when we've made changes
12 associated with a recent trend -- and not that we have
13 ever on availability, but we have on heat rate -- those
14 changes are always related to history. So, for example,
15 if we didn't have a history and we made a major
16 modification to a unit like the modifications that we did
17 when we did the scrubbers for Big Bend 1 and Big Bend 2,
18 we would make that change to history as well as to
19 projections.

20 I would suggest that the changes associated with
21 what we're talking about now are things that have already
22 occurred, and we have paid penalties or received credits
23 under the GPIF methodology. These are not new changes.
24 They didn't happen yesterday. They've been occurring over
25 a five-year period of time.

1 Q. Well, let me provide you with a copy of the
2 language from the GPIF rule, if I can approach and provide
3 copies.

4 CHAIRMAN BAEZ: Go ahead.

5 THE WITNESS: Thank you.

6 CHAIRMAN BAEZ: Ms. Christensen, I failed to
7 ask, the late-filed depo exhibit that you provided us
8 with, do we need that marked?

9 MS. CHRISTENSEN: I'm sorry?

10 CHAIRMAN BAEZ: Do you need the late-filed depo
11 exhibit that you were asking questions on marked?

12 MS. CHRISTENSEN: Yes, Commissioner, if I could
13 have that marked, as well as the --

14 CHAIRMAN BAEZ: Show that as Number 84. And
15 then the two pages, pages 4.403 and 4.404 of the GPIF
16 manual?

17 MS. CHRISTENSEN: Correct. These are excerpted
18 pages from that.

19 CHAIRMAN BAEZ: Got it. Show those marked as
20 composite 85 -- 86. No, 85. I'm sorry.

21 (Exhibits 84 and 85 were marked for
22 identification.)

23 BY MS. CHRISTENSEN:

24 Q. Mr. Smotherman, are you familiar with this
25 portion of the GPIF manual?

1 **A.** Right. This is Tampa Electric's detail for the
2 GPIF manual.

3 **Q.** Okay. And at the bottom of the page, the first
4 page that we have under Rule 4.3.1, it talks about how to
5 determine the target equivalent availability for each
6 unit; correct?

7 **A.** That is correct.

8 **Q.** And that target is generally set based on
9 historical information; correct?

10 **A.** That is correct.

11 **Q.** And within that, if you turn over to the top of
12 the following page, is where it talks about modifying the
13 historical average; correct?

14 **A.** That is correct.

15 **Q.** And that's where it talks about modifying those
16 historical averages due to recent trends, equipment
17 modifications or changes, unit rating changes, et cetera;
18 correct?

19 **A.** That is correct.

20 **Q.** Okay. And you would agree that in this case,
21 TECO has not made any modifications to its historical EAF?

22 **A.** No, we have not. And I might want to point out
23 that this is our detail of the GPIF manual. The
24 overriding or the general text for the GPIF manual is on
25 Sheet 3.4.04. And that's where it states natural

1 disasters or externally caused disasters, the unforeseen
2 shutdown, rescheduling, planned maintenance, reserve
3 shutdown hours, et cetera, and this is the detail behind
4 when you do that. So it essentially is contemplating what
5 would be explained under the larger heading of those
6 items.

7 **Q.** But isn't it true the explanation you provided
8 today regarding the decrease or the negative trend on the
9 graph starting in 2000 was that you were modifying your
10 units because of equipment? Is that correct?

11 **A.** We were modifying our units in conjunction with
12 the consent decree order that we had received.

13 **Q.** Right. But that was due to putting on
14 equipment?

15 **A.** That was due to putting on new types of
16 environmental equipment.

17 **Q.** Correct. And that was a modification to those
18 units; correct?

19 **A.** That is correct. But according to this manual,
20 what that would suggest would be that we would change our
21 history and change our projections in accordance -- like
22 we have done in the past on heat rates, so we would
23 reflect out or take out those items that we could
24 identify. We did not do that in the five years that we've
25 done this.

1 **Q.** Okay. Now, is it also true that TECO has a
2 chance for a bigger reward, so to speak, if your targets
3 are set lower?

4 **A.** I don't know if we have a chance for a bigger
5 reward or not. To the extent that we are able to improve
6 the operation of our units, we have an incentive to do so
7 according to the methodologies.

8 **Q.** Yes. But wouldn't you agree, and isn't it true
9 that if you set your targets lower, it's easier to achieve
10 improvements and thereby get rewards?

11 **A.** Well, we do not set our targets lower or higher.
12 Our targets are determined by history, because history is
13 the best indicator of future performance.

14 **Q.** If the Commission accepts your proposed target
15 of 66.67 percent, is it more likely that you will receive
16 a reward than if the targets are adjusted to exclude the
17 negative trends related to the forced and maintenance
18 outages?

19 **A.** The 66.67 you're referring to is not the target
20 value. But to the extent that our targets are set higher,
21 history would suggest that it would be more difficult to
22 reach that number, merely because we've not done that in
23 recent history.

24 **Q.** And am I correct that it's TECO's belief that
25 the EAF performance for the Big Bend units went down in

1 2002 and 2003 due to modifications made due to
2 environmental equipment?

3 **A.** That -- excuse me. That is correct.

4 **Q.** Now, when we asked for a late-filed exhibit
5 showing how many outages and the length of those outages
6 that were caused by the environmental equipment, would I
7 be correct in saying that you were unable to identify that
8 specifically?

9 **A.** Right. And the reason why we were unable to
10 identify that specifically is, the outages that were
11 created from that are not necessarily categorized in that
12 fashion. So, for example, if we have additional tube
13 leaks due to a change in the combustion of our coal, which
14 is one of the items that we've seen, it's not like you can
15 say, "Okay. This number came from the environmental
16 equipment, and this number came directly from normal wear
17 and tear on the unit." So it's very difficult to separate
18 some of those items.

19 **Q.** Let me ask you this. In the 2003 time frame,
20 did TECO decrease or increase its O&M budget related to
21 the maintenance work on the Big Bend units?

22 **A.** Say that again. I didn't catch the whole
23 question.

24 **Q.** In the 2003 time frame, did TECO increase or
25 decrease its O&M budget related to maintenance work on the

1 Big Bend units?

2 **A.** I believe the O&M budget was lower from Tampa
3 Electric in 2003, although we ended up, I believe,
4 exceeding that budget amount.

5 **Q.** And has TECO subsequently increased its budget,
6 O&M budget related to maintenance work on the Big Bend
7 units in 2004 through the 2006 time frame?

8 **A.** Yes, we have. Our budgets are essentially
9 driven by what we think we have to do to maintain and
10 operate the units reliably. So as we see trends of
11 increasing outages, we will obviously increase our budgets
12 to make sure we can maintain the reliability of our
13 plants, similar to what I was referring to before for
14 planned outages. When you know you've got problems and
15 you can see them coming up, you go ahead and you plan and
16 you spend the money to do those things.

17 **Q.** So isn't it true that the anomaly related to the
18 2002-2003 time frame may also be attributable to the
19 decrease in maintenance O&M?

20 **A.** As I said before, when we see problems that we
21 have, we don't just not let the unit run. We go ahead and
22 we spend the money. We have a budget that we try and keep
23 to. But to the same extent, if you end up in a situation
24 where you know you're going to have problems, you go ahead
25 and you spend the money and you fix the units.

1 Q. And since TECO has increased its O&M budget for
2 maintenance, isn't it correct that it is unlikely that the
3 negative trends of 2002 and 2003 will reoccur?

4 A. We have, as I said before, many other
5 environmental projects that we are getting read to embark
6 on with these units, so there is no guarantee that we will
7 not see the same types of things happen again.

8 Q. But to the extent that any of the EAF was
9 negatively impacted by the decrease in O&M maintenance
10 budget, that's unlikely to occur, because you have
11 increased the maintenance budgets in the near future;
12 correct?

13 A. Yes, we have increased the maintenance budgets.

14 Q. And isn't it also true that if the EAF targets
15 suggested by Mr. Matlock are approved that the anomaly
16 related to the 2002-2003 time frame would be removed from
17 the 2006 targets?

18 MR. BEASLEY: Mr. Chairman, I think the witness
19 has indicated a couple of times that he doesn't consider
20 there to be an anomaly with respect to 2002 and 2003.

21 CHAIRMAN BAEZ: What's your objection exactly?

22 MR. BEASLEY: Improper characterization of the
23 witness's prior testimony.

24 CHAIRMAN BAEZ: Ms. Christensen, ask the
25 question again.

1 BY MS. CHRISTENSEN:

2 Q. Isn't it true that if the targets suggested by
3 Mr. Matlock are approved, that the downward trend in the
4 numbers shown on the graph that brought the EAF down to
5 65 percent in 2002 and 2003, in the 2002-2003 time frame,
6 would be removed from the 2006 targets?

7 A. That's not true. The way the targets are set,
8 they're set based on the 12-month prior history. So if
9 you look at 2004 and 2000 -- through June 2005 is where
10 they're being set from. So the targets that are presented
11 for 2006 setting, the data starts July of '04 and runs
12 through June of '05. So the data reflected in 2002 and
13 2003 was not included in the development of the targets
14 for 2006.

15 Q. So that's not included as part of the historical
16 data?

17 A. The historical data is based on the past
18 12-month period, and the 12-month periods roll from July
19 through June of prior years.

20 MS. CHRISTENSEN: I have nothing further.

21 CHAIRMAN BAEZ: Do any of the other intervenors
22 have questions for this witness?

23 LT. COLONEL WHITE: (Shaking head negatively.)

24 CHAIRMAN BAEZ: No? Ms. Vining.
25

CROSS-EXAMINATION

1
2 BY MS. VINING:

3 Q. Good afternoon, Mr. Smotherman.

4 A. Good afternoon.

5 MS. VINING: I've handed out four different
6 exhibits. And, Mr. Chairman, I think just for ease, if we
7 could go ahead and premark these exhibits.

8 CHAIRMAN BAEZ: You want them in any particular
9 order, or do you want to take them as a composite?

10 MS. VINING: I would think -- and this would be
11 86 through 89. Eighty-six should be the selected pages
12 from the GPIF manual; and 87, selected pages from Appendix
13 A of Order No. 9558; and 88, page 9 from Mr. Smotherman's
14 direct testimony filed in Docket 030001. And then 89
15 would be selected pages from Tampa Electric Company's GPIF
16 filings in Dockets 000001, 010001, and 020001 for Gannon
17 Unit 6.

18 CHAIRMAN BAEZ: So marked.

19 (Exhibits 86, 87, 88, and 89 were marked for
20 identification.)

21 BY MS. VINING:

22 Q. Now, Mr. Smotherman, if you could turn to Bates
23 stamp page 166 in staff's composite exhibit, which is the
24 green cover page right there.

25 CHAIRMAN BAEZ: What page was that?

1 MS. VINING: 166.

2 A. I'm there.

3 Q. Do you have it? Okay. And that is a chart
4 that's entitled "Comparison of TECO 2006 EUOF Targets with
5 Previous Years' Targets and Actuals"? That's that you
6 have?

7 A. That's correct.

8 Q. Can you define -- well, tell us what the acronym
9 EUOF stands for.

10 A. The acronym EUOF stands for equivalent unplanned
11 outage factor, which essentially is the unplanned outage
12 hours divided by the total hours in any particular year.

13 Q. And what does that generally show, this factor?

14 A. That factor generally shows the amount of time
15 during a year that a unit would be out for unplanned
16 outages.

17 Q. Now, if you can refer to columns 11, 9, 7, and 6
18 on the chart, those list the targets for the units for
19 2002 through 2005; correct?

20 A. Correct.

21 Q. Now, looking at the targets for 2006, which are
22 in column 2, can you explain why Polk Unit 1's target is
23 substantially different from what it was in columns 6, 7,
24 9, and 11?

25 A. Yes. Polk Unit 1's target is different, and it

1 is a higher number than what appears in the other targets,
2 merely because we've had a fairly substantial outage on
3 that unit which occurred this year. And that has been
4 rolled into the GPIF calculation.

5 Q. And how long was that outage?

6 A. I don't remember the exact time frame. It
7 started in roughly January -- I believe January 18th was
8 when it started, and it finished April 29th, I believe.

9 Q. So around four months?

10 A. Approximately.

11 Q. And do you know what the cause of that outage
12 was?

13 A. Yes, I do.

14 Q. Can you please tell us?

15 A. Yes. The cause of the outage was, essentially,
16 we had a failure of a blade in the air compressor section
17 of the turbine. That failure essentially wiped out all
18 the blades after that blade and required a long outage to
19 fix that air compressor section of the turbine.

20 Q. And do you believe that a similar outage is
21 going to happen in 2006?

22 A. No, I do not.

23 Q. But yet you included an outage of a similar time
24 frame in your target setting for 2006; is that correct?

25 A. That is correct. The GPIF methodology as set

1 forth essentially would suggest that we would include
2 that, and according to the methodology, we will probably
3 end up paying a maximum penalty associated with that unit
4 also related to that outage.

5 **Q.** Now, while the unit was down for those four
6 months, did you do any extra planned maintenance because
7 it was down for so long than you would have normally done
8 otherwise?

9 **A.** Yes, we did.

10 **Q.** So in actuality, perhaps the unit would perform
11 better because you were able to do planned maintenance
12 earlier than you had planned?

13 **A.** We think it was a prudent thing that we went
14 ahead and did the maintenance since we were going to be
15 down for such a long period of time. Otherwise, we would
16 have had to take additional outage time on the unit, which
17 would have reduced our coal-fired generation output of
18 that plant.

19 **Q.** Now, the target for Big Bend 4 appears to be
20 higher than it had been in the past, higher than any
21 previous target since 2002. Why is that number higher in
22 the target for 2006?

23 **A.** We had some boiler tubes fail on the floor, on
24 the floor of that unit, and that is suspected to be
25 related somewhat to the environmental changes that have

1 been made on that unit. We put in some fixes as well
2 during the Big Bend -- during this year, roughly in March.
3 And we're waiting to see how well those fixes hold up.

4 **Q.** Okay. How about for Big Bend 3? It looks like
5 that target is higher than any previous target since 2002
6 except for 2005.

7 **A.** Big Bend 3 has had a variety of different
8 issues. And again, a lot of those have been related to
9 some of the environmental changes on that unit.

10 **Q.** Okay. Now, if you can turn to what has been
11 marked as Exhibit 86 and look at sheet number 3.100.

12 **A.** Exhibit 86?

13 **Q.** Yes, the one -- selected sheets from the GPIF
14 manual.

15 **A.** Yes, ma'am.

16 **Q.** Okay. And sheet 3.100 should be the first one.

17 **A.** I'm there.

18 **Q.** Okay. If you can go down to the fourth
19 paragraph on that page and read for me the second sentence
20 in that paragraph.

21 **A.** Starting with "these"?

22 **Q.** Yes, please.

23 **A.** "These targets reflect how each unit is expected
24 to perform during the six-month period encompassed by the
25 projected fuel adjustment clause."

1 Q. Okay. And then continuing to the second
2 sentence, the next sentence after that, please.

3 A. "For each target, a maximum reasonable
4 attainable range of potential improvement and degradation
5 are determined. Weighting -- "

6 Q. So -- that's it. That's good.

7 A. Okay.

8 Q. So would you say based on those two sentences
9 that targets should be set to reflect how each unit is
10 expected to perform during the projected fuel period?

11 A. I would say that this is a -- what is being done
12 is, this is used as a proxy for what is expected to be
13 done, but the methodology clearly provides for both
14 penalty and incentives.

15 Q. And you had said earlier in response to
16 Ms. Christensen's questions that history is the best
17 barometer for how a unit is expected to perform?

18 A. Yes.

19 Q. But you would agree too, though, that history
20 may not be reflective of how it will perform in the
21 future?

22 A. Yes, but it provides a balanced approach for
23 both penalty and incentive. So from the standpoint, if
24 you do better, then you get an incentive. From the
25 standpoint, if you do worse, you do get a penalty. So the

1 methodology has been in play for multiple years, and I
2 believe that it's valid and it works well.

3 **Q.** So you think in the case of Polk Unit 1, it's
4 appropriate to include this four-month outage at the
5 beginning of the year in setting targets?

6 **A.** I do, unless we were to not include that outage
7 as part of the history.

8 **Q.** Even though you don't think it will reflect the
9 unit's performance in the year 2006?

10 **A.** No, merely because it provides the symmetry
11 associated with the methodology. The methodology provides
12 for a penalty and for a reward. And to the extent you're
13 able to make something perform better, you get a penalty
14 -- I mean a reward, and vice versa. It has been in place
15 for a long time, and we've had that occur. This is not
16 the first time we've had a situation like this. We've had
17 outages. For example, on Gannon 6, we had a fairly large
18 explosion. We incurred a penalty associated with that
19 explosion, and that set the target that we were to beat
20 for the next year.

21 **Q.** Now, Mr. Smotherman, if you can take a look in
22 that same exhibit at pages -- or sheets, rather, 4.403 and
23 4.404, these are the pages that had you had a discussion
24 Ms. Christensen on earlier. And you did indicate earlier
25 that these are from the TECO-specific section of the GPIF

1 manual.

2 A. Yes, ma'am.

3 Q. And these are the guidelines for setting the
4 targets; correct?

5 A. These are the guidelines for setting the
6 targets, yes.

7 Q. Okay. Now, you also had a discussion with
8 Ms. Christensen about -- you had listed some other items
9 that you thought should be taken into account when setting
10 the targets. And you addressed them in your rebuttal
11 testimony and listed them explicitly, but because you
12 answered them with regard to Ms. Christensen, I'll go
13 ahead and ask you questions on that then.

14 If you can look then at sheet 3.403 again.
15 Well, actually, we haven't looked at that, 3.403 and
16 3.404.

17 A. Yes, ma'am.

18 Q. Now, at the top of 3.404, those are the factors
19 that you talked about your rebuttal testimony and that you
20 also expressed to Ms. Christensen earlier.

21 A. That is correct.

22 Q. Okay. Now, which section of the manual are
23 these from? In other words, are these general guidelines
24 for GPIF?

25 A. These are general guidelines for GPIF that are

1 set overriding ones that -- for every company to follow.

2 Q. Okay. Do you feel that this list that's on page
3 3.404 does not support Mr. Matlock's proposed method for
4 adjusting the 2004 EAF targets?

5 A. Yes, I feel it does not.

6 Q. Okay. Now, this list sets adjustments to
7 performance indices, does it not?

8 A. Yes, it does.

9 Q. Okay. If you could look at 3.403, the very last
10 sentence, if you could read that for me, on that page,
11 starting with "Since performance targets."

12 A. "Since performance targets are set prospectively
13 in the GPIF, certain circumstances may arise during the
14 six-month period which warrant adjustments to be made in
15 the final GPIF calculation."

16 Q. Wouldn't you agree then that the factors you
17 listed in your rebuttal testimony, which are itemized on
18 3.404, go to the final adjustment of the GPIF with regard
19 to whether or not a penalty or reward should be given
20 versus setting the actual targets prospectively based on
21 historical information?

22 A. Well, I believe they go for the final, but I
23 would think for the prospective they would apply as well.

24 Q. Even though it says warrant adjustments to be
25 made in the final GPIF calculation?

1 **A.** Yes.

2 **Q.** So you don't think that the items listed on
3 4.404 apply to target setting? It's only the list that's
4 on 3.404?

5 **A.** No. I think the list on -- the other list does
6 apply as well. These lists that are shown on 3.404 is the
7 overriding list. But what that also says is, it says
8 generally, and it provides flexibility for other things to
9 be done. But those other things essentially would have to
10 be approved by the Commission as outlined in the
11 TECO-specific section.

12 **Q.** I'm confused then, because you just said that
13 the manual gives flexibility for those things to be
14 adjusted. That doesn't --

15 **A.** What I said is, essentially, under the -- these
16 are the general overriding guidelines on 3.404 that would
17 be applied. Now, anything outside of that, the language
18 that is written, it says generally adjustments. So it
19 provides for -- other reasons for that to happen.

20 And the reason why I bring that up is, not using
21 it under EAF, but under heat rate, we have done other
22 things, and we've always come to the Commission
23 prospectively for approval of those items. So I would say
24 this is the general, and I think it's set this way to show
25 that it needs to be something fairly large before you

1 would come and change your targets.

2 Q. The manual doesn't say how large it has to be
3 before it's changed, though, does it?

4 A. It does not speak to specifics, no.

5 Q. These specific sections also do apply to TECO,
6 correct, in addition to the general sections?

7 A. That's correct. Those specifics, though, would
8 be overridden by what's in here unless we got Commission
9 approval, as it says. At the end of that language, it
10 basically says we would go to the Commission and ask for
11 approval of that, and it basically says it's pending
12 Commission approval. So these are the overriders. Those
13 are the items if we were going to do something outside of
14 that, and we would need to do that seeking Commission
15 approval.

16 Q. Okay. But the manual does not foreclose the
17 type of adjustments that Mr. Matlock has proposed?

18 A. No, it does not.

19 Q. Okay. And they're within the scope of the
20 manual?

21 A. Well, I would say the way that he proposed it is
22 different from the scope of how the manual proposes,
23 because when it says recent trends, I would propose that
24 that looks at recent trends of what's happening. So if
25 you have higher outages occurring on a recent basis, you

1 would have a worse target.

2 So, for example, if in the last six months of a
3 12-month period it's a lot worse, you could make an
4 argument, "I want a worse target." Or if I have a lot
5 better in the last six months, I can make an argument, "I
6 want a better target." But to me, that's a recent trend
7 change, not that it's getting worse, so I'm going to set
8 it higher. That seems counter to what you would expect
9 for a recent trend change.

10 Q. Well, then couldn't you also make the argument
11 that it's a recent trend that the Polk Unit 1 had a
12 four-month unplanned outage which you don't expect to
13 happen again, so it seems appropriate that that would be
14 adjusted out?

15 A. I think to maintain the symmetry of that, I
16 would expect to adjust that out in the final true-up for
17 the '06 of this. But if you were to do it on both sides
18 of it, I would say yes.

19 Q. Let's talk a little bit more about that doctrine
20 of symmetry. Now, again, this is in your rebuttal
21 testimony, but because you've answered on it, we'll go
22 ahead and talk about it. On page 2, lines 13 through 15
23 of your rebuttal testimony, I'm going to quote from it.
24 You say, "The GPIF program benefits the ratepayers and
25 utilities by providing a fair and symmetrical sharing of

1 improvements or declines in unit performance"; is that
2 correct?

3 **A.** That is correct.

4 **Q.** Now, does this concept of symmetry appear in any
5 orders of the Commission addressing GPIF?

6 **A.** I don't know if it is specifically stated in the
7 order, but it is something that is definitely reflected in
8 the methodology as set forth.

9 **Q.** Okay. So that would be a no then?

10 **A.** It's not specifically stated, no, but I think it
11 is reflected in the way the methodology is set forth.

12 **Q.** Does your statement then that you made in your
13 rebuttal testimony imply then that in order to be fair,
14 the penalties incurred in one period should be evened out
15 by rewards in another period?

16 **A.** No. Basically, all I'm saying is that if the
17 history is such, then you do reflect the history. If
18 you're going to change the history, then you should also
19 reflect that change in the projection.

20 **Q.** Okay. Let's move on to Exhibit 87, which are
21 selected pages from the appendix to Order No. 9558. If
22 you can look at page D-8. That's what's listed in the
23 bottom of the page. Do you have it?

24 **A.** Yes, I do.

25 **Q.** If you can read for me the second paragraph on

1 that page.

2 **A.** "At the end of the six-month fuel adjustment
3 period, actual equivalent availability and average heat
4 rates are compared to pre-established targets. Based on
5 this comparison, a monetary reward is awarded for
6 improvements from the performance targets; a monetary
7 penalty is deducted for degradation from the performance
8 targets."

9 **Q.** Okay. Do you agree with the second sentence
10 that a reward is awarded for improvements from the
11 performance targets or for improvements from how a unit is
12 expected to perform rather than for improvements from the
13 previous period?

14 **A.** When you say expected to perform, I don't
15 believe I read that. I believe it said pre-established
16 targets.

17 **Q.** Well, I thought we discussed earlier that those
18 targets are set on how the unit is expected to perform.

19 **A.** But those targets are associated with history,
20 and the history is the expectation for the future. So the
21 improvement or degradation, reward or penalty, is based on
22 the history of that particular unit and the pre-existing,
23 preset targets.

24 **Q.** Did you just say that history is how it's
25 expected to perform?

1 **A.** I said that the methodology as set forth by the
2 GPIF uses history as an expectation for future
3 performance.

4 **Q.** Okay. Let's move on to Exhibit 88, which is a
5 page from your direct testimony filed in Docket 030001.
6 Could you read for me the question that's on page 9 and
7 the portion of the response that's also on page 9?

8 **A.** Okay. "How did you determine the forced outage
9 and maintenance outage factors for each unit?"

10 "Graphs for both factors, adjusted for planned
11 outages, versus time were prepared. Monthly data and
12 12-month rolling average data were recorded. For each
13 unit, the most current 12-month ending value, June 2003,
14 was used as a basis for the projection. This value was
15 adjusted by analyzing trends and causes for recent forced
16 outage maintenance (sic). All projected factors are based
17 upon historical unit performance, engineering judgment,
18 time since last planned outage, and equipment performance
19 resulting in a forced or maintenance outage. These target
20 factors are additive and result in an equivalent
21 unavailability factor of 27.11 for Big Bend 1."

22 **Q.** Thank you. Now, you state in your answer on
23 lines 18 through 20 that this value was adjusted by
24 analyzing trends and causes for recent forced and
25 maintenance outages. So based on that, would you agree

1 that a straight historical average is not the only basis
2 for an outage factor projection, nor for a resulting
3 availability factor projection?

4 **A.** I would agree that the methodology allows for
5 that with the Commission approval. To state a fact,
6 though, the 27.11 as shown here was a direct calculation
7 of a historical number. The historical number utilized to
8 determine that was just a straight basis of those numbers.
9 No changes were made.

10 **Q.** But you did consider trends? You just decided
11 that no adjustments were warranted?

12 **A.** Exactly.

13 **Q.** All right. Now, moving on to Exhibit 89, this
14 has actual unit performance for calendar year 2000 as well
15 as 2001, and then estimated unit performance data for
16 calendar year 2002 for Gannon Unit 6. Are you aware that
17 Gannon Unit 6 had a major forced outage in late 2000?

18 **A.** Yes, I am.

19 **Q.** Now, do you agree that the forced outage hours
20 and maintenance outage hours, which are listed on lines 7
21 and 8 of the 2000 data, as well as the 2001 data, for late
22 2000 and early 2001 total 3,923.3 hours? And what I did
23 was, I took the numbers for July through December of 2000
24 and for January through June of 2001.

25 **A.** Subject to check.

1 **Q.** Okay. So then based upon that, would you agree
2 that the number of equivalent unplanned outage hours was
3 at least 3,923.3 hours?

4 **A.** I would think so, yes.

5 **Q.** Okay. Now, would you agree that the 12-month
6 period from July 2000 through June 2001 totals 8,760
7 period hours, which would be 365 days times 24 hours in a
8 day?

9 **A.** Yes, I would.

10 **Q.** Okay. So if I take the 3,923.3 that we talked
11 about earlier and divide by the period hours, I should get
12 44.8 percent, which would be the equivalent unplanned
13 outage factor for that time period?

14 **A.** That is correct.

15 **Q.** Okay. Now, if you could look at the estimated
16 data for 2003, please, which should be the third page in
17 the exhibit, would you agree that the target EUOF, which
18 again is the equivalent unplanned outage factor, for 2002
19 for Gannon Unit 6 was only 18 percent? And that's on line
20 3.

21 **A.** Yes, I do.

22 **Q.** So we had just calculated that the equivalent
23 unplanned outage factor should have been 44.8 percent for
24 that particular unit, but yet the estimated data says
25 18 percent for that unit. What's the discrepancy there?

1 **A.** The change would be that if you look at the
2 planned outage factor that it shows up there, it's at 18.1
3 percent. So what we do when we actually calculate the
4 numbers is, if we have additional -- or we have planned
5 outages occur during a time period, we use not the factor,
6 but we use the rate.

7 And then you can't have the same number of
8 outage hours, because on a rate basis, if you have a
9 planned outage, essentially, you've taken out a portion of
10 the year. So a portion of the year is essentially gone,
11 or 18.1 percent of the year, you can't have a forced
12 outage. So that necessitates that the equivalent
13 unplanned outage hours that you would expect for the
14 upcoming year would be less.

15 Because that is a very large unplanned outage,
16 18.8 percent -- not unplanned, I'm sorry, planned outage
17 of 18.1 percent, that dramatically reduces the total
18 number of hours that would be reflected.

19 **Q.** Correct me if I'm wrong, but I thought that the
20 2002 target that's listed on line 3 was calculated based
21 on the 12-month historical average, which would have been
22 the period July 2000 through June 2001.

23 **A.** That is correct.

24 **Q.** Okay. I thought we had calculated that
25 equivalent unplanned outage factor to be 44.8 percent.

1 **A.** Right. But the methodology also recognizes the
2 fact that planned outages are not the same from one year
3 to another. So the methodology essentially allows for
4 increasing those unplanned outage hours or decreasing
5 those unplanned outage hours based on whether you have a
6 planned outage or not.

7 If you have -- say you go from a year where you
8 have a zero unplanned outage, which is what I would expect
9 shows in this data from the target period, to a year where
10 you have a relatively high planned outage. It's not going
11 to say, okay, we're going to have 3,000 hours and 3,000
12 hours of outage time, and you're only going to run for
13 whatever is left over. The methodology recognizes that
14 that really wouldn't work.

15 So to account for that, what the methodology
16 does is, it ratios your equivalent unplanned outage hours
17 associated with the amount of planned outage hours you
18 have in any particular period, because essentially, if you
19 take a large planned outage in a target period, it's very
20 hard for you to say that you're going to have that same
21 number of unplanned outage hours. In fact, you should
22 have less, because part of your year is actually eaten up
23 by the fact that you've actually done a planned outage,
24 and the methodology accounts for that and allows for that
25 shifting.

1 Q. So you're telling me that TECO did not exclude
2 any of the unplanned outage hours in the historical period
3 from the target for 2002?

4 A. That is correct.

5 Q. Even though there's almost -- well, at least
6 almost a 30 percent discrepancy between the historical and
7 the number you're targeting?

8 A. That is correct. And if you were to look at the
9 addition of the planned outage and the unplanned outage
10 hours, that represents roughly 36 percent outage.

11 Q. Right. And then we still have to get somewhere
12 up to 45 percent.

13 A. Right. But it's not a factor that it's based
14 on. It's based on a rate. So as you reduce the number of
15 hours that it's seen over, the rate actually stays the
16 same. The factor is what changes.

17 MS. VINING: Okay. Those are all the questions
18 I have for you, Mr. Smotherman. Thank you.

19 CHAIRMAN BAEZ: Commissioners, questions of
20 Mr. Smotherman? No questions?

21 Mr. Beasley?

22 MR. BEASLEY: I have no redirect, sir, and I
23 would like to move the admission of Exhibits 72 and 73.

24 CHAIRMAN BAEZ: Without objection, show Exhibits
25 72 and 73 admitted.

1 (Exhibits 72 and 73 were received into
2 evidence.)

3 CHAIRMAN BAEZ: Ms. Christensen, I have for you
4 84 and 85.

5 MS. CHRISTENSEN: I would ask to have Exhibits
6 84 and 85 moved into the record, please.

7 CHAIRMAN BAEZ: So moved.

8 (Exhibits 84 and 85 were received into
9 evidence.)

10 CHAIRMAN BAEZ: And, Ms. Vining, I have 86
11 through 89 for you.

12 MS. VINING: Yes. I would ask that those be
13 moved into the record.

14 CHAIRMAN BAEZ: Show them admitted without
15 objection.

16 (Exhibits 86, 87, 88, and 89 were received in
17 evidence.)

18 CHAIRMAN BAEZ: Mr. Smotherman, thank you.

19 Let's take a five-minute break, and then we'll
20 be back with Mr. Stewart.

21 (Short recess.)

22 (Proceedings continued in Volume 6.)

23

24

25

