


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 060635-EU

In the Matter of

PETITION FOR DETERMINATION OF NEED FOR
ELECTRICAL POWER PLANT IN TAYLOR COUNTY
BY FLORIDA MUNICIPAL POWER AGENCY, JEA,
REEDY CREEK IMPROVEMENT DISTRICT, AND
CITY OF TALLAHASSEE.



VOLUME 10

Pages 1150 through 1213

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LISA POLAK EDGAR
COMMISSIONER MATTHEW M. CARTER, II
COMMISSIONER KATRINA J. TEW

DATE: Thursday, January 18, 2007

TIME: Commenced at 10:35 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, CRR, RPR
Official FPSC Reporter
(850) 413-6734

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION

00536 JAN 19 07

FPSC-COMMISSION CLERK

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:

PAGE NO.

BRADLEY KUSHNER

Continued Direct Examination by Mr. Perko	1153
Cross Examination by Ms. Brownless	1154
Cross Examination by Mr. Jacobs	1199

CERTIFICATE OF REPORTER

1213

EXHIBITS

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

NUMBER:

ID.

ADMTD.

(REPORTER'S NOTE: No exhibits were marked or admitted in Volume 10.)

P R O C E E D I N G S

(Transcript continues in sequence from Volume 9.)

CHAIRMAN EDGAR: I call this hearing to order this morning. Welcome back. Glad to see you all gathered together with us again. I believe that where we left off when we concluded for the evening last week was that Witness Kushner had been tendered for questioning. Before we move to cross, is there anything else that we need to address?

MR. PERKO: Yes, Madam Chairman. Gary Perko on behalf of the applicants. We do need to make one minor change, correction to Mr. Kushner's revised rebuttal testimony, if we could do that, please.

CHAIRMAN EDGAR: Okay.

CONTINUED DIRECT EXAMINATION

BY MR. PERKO:

Q Mr. Kushner, I'd remind you that you have been sworn. Are there any changes you need to make to your revised rebuttal testimony?

A Yes. On Page 8, Line 13, the exhibit referenced should be "BEK-3R," and change "direct testimony" to "supplemental testimony."

MR. PERKO: Thank you. We'd just ask that that correction be made to the testimony that's already been admitted into the record.

CHAIRMAN EDGAR: Okay. Those changes will be noted

1 for the record.

2 MR. PERKO: Thank you.

3 CHAIRMAN EDGAR: Thank you.

4 Ms. Brownless, are you ready to begin cross?

5 MS. BROWNLESS: Yes, ma'am.

6 CHAIRMAN EDGAR: Okay.

7 CROSS EXAMINATION

8 BY MS. BROWNLESS:

9 Q Good morning, Mr. Kushner.

10 A Good morning, Ms. Brownless.

11 Q And I'm going to scoot up here so I can see you.

12 A Okay.

13 Q Did you prepare the responses to NRDC's first set of
14 interrogatories numbers 1 through 26 numbers 22, 23 and 26?

15 A Yes, I did.

16 Q And are those -- and did you also provide the
17 responses to NRDC's second set of interrogatories numbers
18 1 through 8 numbers 1 through 3 -- numbers 1 and 3? I'm sorry.

19 A Yes, I did.

20 MS. BROWNLESS: Okay. And for the record, Madam
21 Chair, the NRDC's first set of interrogatories is
22 Exhibit Number 108 and NRDC's second set of interrogatories is
23 Exhibit 105.

24 BY MS. BROWNLESS:

25 Q At this time -- are these exhibits true and correct

1 to the best of your knowledge and belief?

2 A Yes, they are.

3 MS. BROWNLESS: Okay. And, Your Honor, that will
4 complete all of the folks on the applicant side who have
5 responded to all of the interrogatories contained in Exhibit
6 108 and 105. So we'll wait to the end to move that into the
7 record.

8 CHAIRMAN EDGAR: That's fine.

9 BY MS. BROWNLESS:

10 Q Now, Mr. Kushner, I just want to take a minute to
11 talk about kind of the basic scheme of the analysis that was
12 done in this case. You started out developing a capacity and
13 energy need for each applicant; is that correct?

14 A That's correct.

15 Q Okay. And then you developed a self-build option for
16 each applicant to meet their own individual capacity and energy
17 needs; is that right?

18 A A number of self-build alternatives were developed
19 for each applicant, yes.

20 Q Okay. And those were the options that were developed
21 by Mr. Klausner; right?

22 A That is correct.

23 Q Okay. And those were stated on his
24 Exhibit CK-2, which I think has been identified as 53, and on
25 Exhibit 3, revised Table A.6-37; is that right?

1 A Yes.

2 Q Okay. And all of the costs that reflected, that are
3 reflected on all of these tables reflect the revised costs for
4 TEC and also reflect the revised costs for all self-build
5 supply-side options that are listed.

6 A That's correct.

7 Q Okay. Now when you got those all together, you ran
8 the POWROPT program and the POWRPRO program using these
9 different supply-side self-build options to develop the
10 least-cost IRP plan; is that right?

11 A A least-cost capacity expansion plan was developed
12 for each applicant. One --

13 Q As well as for the group as a whole.

14 A No, that's not correct.

15 Q Okay. So it was developed for each applicant.

16 A Correct.

17 Q And you modeled these different options to figure out
18 what was least cost; right?

19 A That's correct.

20 Q Okay. And you came up with a chart, and I'm just
21 going to hand it out, which is in Exhibit Number 3, and it's,
22 that's TEC-1E. And I'll pass it out, Mr. Kushner.

23 And when you get this chart, Mr. Kushner, there are
24 two handwritten things on it. There's Exhibit Number 3 up in
25 the corner and there's a handwritten piece on the right-hand

1 side for each page that says "FMPA, JEA, RCID and Tallahassee."
2 Now with the exception of those handwritten pieces, are these
3 true and correct copies of these revised tables?

4 A The summary of sensitivity analysis tables are
5 correct.

6 Q Okay.

7 A And if you'll give me a moment, I can check on
8 Table A.6-37.

9 Q The last two pages. Sure.

10 A Table A.6-37 is correct also.

11 Q Okay. And the Tables A.6-37, Page 1 of 2 and 2 of 2,
12 those reflect the details of the self-build options. Are those
13 correct?

14 A That is correct.

15 Q Okay. And all of these numbers in here on both sets
16 of tables reflect the higher cost for TEC; correct?

17 A The costs for TEC are not reflected in any of these
18 tables. These are just the self-build alternatives to TEC.

19 Q Well, the first chart up here, expansion plan, CW.

20 A Okay. Yes. Yes. That's correct.

21 Q Right. That's the higher cost of TEC.

22 A Yes.

23 Q Okay. And the self-build options are higher costs
24 for all of them.

25 A Yes, ma'am. Yes.

1 Q Okay. The very first chart on each one of the first
2 four charts compares the least-cost self-build option IRP with
3 and without TEC; is that correct? The first chart at the top.

4 A Yes.

5 Q Okay. And that's the same comparison for everybody,
6 for FMPA, JEA, Reedy Creek and Tallahassee?

7 A Correct.

8 Q Okay. And the bottom line is the result of that
9 comparison is that for JEA it is cheaper to go with their own
10 self-build option, a second jointly owned pulverized coal unit,
11 than with TEC and it's cheaper by \$2.7 million; is that right?

12 A No, that's not correct.

13 Q Okay. Can you explain that chart to me?

14 A Yes. Correct me if I'm wrong, I think you're
15 referring to one of the cases presented on the revised
16 Table C.6-18, which is the low fuel price sensitivity.

17 Q Okay.

18 A In that sensitivity scenario, which is the only case
19 for any of the applicants among the tables presented on this
20 handout that show that TEC is not part of the least-cost
21 expansion plan, the least-cost expansion plan for JEA includes
22 a self-build CFB instead of participation in Taylor Energy
23 Center.

24 Q Okay.

25 A So that is just one case out of all those.

1 Q So that's one sensitivity study in which you use low
2 fuel prices in the model.

3 A That's correct. Yes.

4 Q Okay. And am I correct that it's cheaper by
5 \$12.7 million?

6 A Yes. That's correct.

7 Q Okay. Now can you tell me when you say CFB, is that
8 a circulating fluidized bed coal plant?

9 A Yes. It's -- in the case for JEA it's a circulating
10 fluidized bed unit that would be constructed at their existing
11 North Side site, and it would use petroleum coke because that
12 site currently has access to petroleum coke.

13 Q Okay. And what is the in-service date for that unit?

14 A December of 2012.

15 Q Okay. And if I look on Table A.6-37 under JEA
16 brownfield options, Page 1 of 2, is that the circulating
17 fluidized bed unit that's discussed there?

18 A Yes. Under JEA brownfield options. That's correct.

19 Q Yes. The one that says "250 megawatts CFB"?

20 A Yes. That's correct.

21 Q Okay. Now the -- you did a series of sensitivity
22 analysis, and that's in the second set of charts on all the
23 first four sheets; is that correct?

24 A No, that's not entirely correct. We -- I did a set
25 of sensitivity analyses for each applicant.

1 Q Okay.

2 A The first line of the first table on each of those
3 four pages on Exhibit Number 3 shows the, the base case
4 analysis for each applicant.

5 Q Yes. Okay.

6 A All of the rest of the information presented there
7 are representative of various sensitivity scenarios performed
8 for each applicant.

9 Q Okay. Tell me the difference between -- I understand
10 the first set of charts, okay, where it says base case, high
11 fuel, low fuel, et cetera. Right? And then you ran your model
12 modeling TEC in there, and the second one was with -- without
13 TEC and then you got a differential; correct?

14 A Correct. Yes.

15 Q Okay. And that's putting TEC in the model with an
16 in-service date of 2012; correct?

17 A May 2012. That's correct. Yes.

18 Q Okay. Now the sensitivities in the second set of
19 charts for each applicant, how were they different?

20 A Okay. The sensitivities in the second set of charts
21 for each applicant do not vary the input parameters. And by
22 input parameters I mean our base case assumptions related to
23 fuel price, emission allowance prices, load growth, capital
24 costs, but instead provide the model the option to choose among
25 various different supply-side alternatives.

1 Q Okay.

2 A For example, I looked at participation in a
3 three-on-one combined cycle unit among the applicants'
4 ownership shares in proportion proposed for Taylor Energy
5 Center as a supply-side alternative to Taylor Energy Center.
6 Going down that table then you can see a joint development
7 integrated gasification combined cycle option was also
8 analyzed, in-service date 2012, operating on 100 percent
9 petroleum coke; gave the model the opportunity to choose among
10 a second unit similar to Taylor Energy Center in the future;
11 also looked at biomass alternatives and a sensitivity in which
12 TEC operated on Powder River Basin coal and pet coke instead of
13 Latin American coal and pet coke.

14 Q So the in-service dates for the three-on-one combined
15 cycle, that was 2012?

16 A Yes, ma'am.

17 Q And the three-train IGCC, what in-service date was
18 that?

19 A 2012.

20 Q Are they all 2012?

21 A No. Just the two joint development alternatives.
22 Basically those alternatives would be viewed as direct
23 alternatives to constructing Taylor Energy Center.

24 Q Okay. And then from there on down, second jointly
25 owned pulverized coal unit, what in-service date would, would

1 that be?

2 A Each applicant was allowed to select a second jointly
3 owned pulverized coal unit beginning as early as 2016.

4 Q Okay.

5 A The all natural gas capacity expansion plan, there
6 were no constraints on the timing of any of the units included.
7 The biomass supply-side alternatives assumed construction and
8 operation of a biomass alternative in 2011, and the PRB, Powder
9 River Basin coal for TEC assumed the operation of Taylor Energy
10 Center in 2012 but just operating on a different fuel supply.

11 Q Got it. Okay. And then that second chart shows the
12 results of these comparisons; correct?

13 A Yes, ma'am.

14 Q Okay. And when I look at the second jointly owned
15 pulverized coal unit, I'm just looking at FMPPA, the very first
16 sheet, it appears to be a negative \$365.4 million; is that
17 correct?

18 A That's correct. What that represents is that if FMPPA
19 was given the opportunity to participate in a second jointly
20 owned pulverized coal unit, for purposes of the model I used
21 the greenfield capital cost estimate that was developed for
22 Taylor Energy Center, similar O&M, operation and maintenance
23 costs for a greenfield unit, similar fuel supply assumptions,
24 that if FMPPA were given the opportunity to participate in that
25 unit in addition to Taylor Energy Center in 2012, the most

1 economical plan would be to select that unit and resulting in
2 \$365.4 million in cumulative present worth cost savings. So
3 that case does include both Taylor Energy Center in 2012 and
4 the ability to select a second large share -- a second share of
5 a large supercritical unit in the future.

6 Q Okay. And the analysis, the basic explanation you've
7 given for these sensitivity analyses is the same for JEA, the
8 same for Reedy Creek and the same for Tallahassee?

9 A Yes. Although there's one exception I'd like to
10 point out.

11 Q Sure.

12 A And that is on Reedy Creek's set of tables there is
13 no all natural gas expansion plan.

14 Q Okay.

15 A Because their base case alternatives were all natural
16 gas.

17 Q All right. Now all of the sensitivity analyses shown
18 here in both the first chart and the middle chart model just
19 one variable at a time, and by that I mean in your -- and I'm
20 going to the first charts now. In your sensitivity case for
21 high fuel prices, the only variable you change is a high fuel
22 price; is that right?

23 A That's correct. Yes.

24 Q Okay. You don't have any -- there's no sensitivity
25 study in which you modeled, for example, high fuel prices and

1 regulated CO2.

2 A That's correct.

3 Q Or any combination.

4 A Correct.

5 Q Okay. Now the third set of charts that you have here
6 talks about comparisons of the base case to the bids received
7 from the Southern Company; is that right?

8 A Yes. That's correct.

9 Q Okay. Now do these comparisons use new construction
10 costs for the Southern Company bids or simply the numbers that
11 Southern Company actually bid?

12 A The numbers that were provided by the Southern
13 Company, yes.

14 Q Okay. And we heard Mr. Arsuaga talk about
15 adjustments that he made to the Southern Company bid in their
16 evaluation. Are those the numbers, Mr. Arsuaga's numbers that
17 were used in this sensitivity?

18 A Yes. Similar adjustments were made to what
19 Mr. Arsuaga spoke of for the Southern Company bids.

20 Q Okay. So you basically incorporated his adjustments
21 into these sensitivities?

22 A Yes.

23 Q Or did you make your own? That's what I'm trying to
24 figure out.

25 A No, I did not make my own. The only difference

1 between what Mr. Arsuaga discussed, he discussed emission
2 allowance prices being added. I did that as well. But I based
3 my emission allowance price adders on the emission allowance
4 price forecast provided by Mr. Preston.

5 Q And that would be in his MP-5, his last --

6 A No. That would be the base case exhibit for
7 Mr. Preston, which I don't believe was MP-5. It was the base
8 case fuel forecast.

9 Q Okay. The base case fuel forecast, which I think was
10 MP-2, did not have any CO2 emission allowances in it; is that
11 correct?

12 A That is correct. Yes.

13 Q Okay. So this comparison does not have any CO2
14 emission allowance, allowances costs in it.

15 A Correct.

16 Q And the sensitivities for the bid used the new
17 construction costs for TEC as well, right, when you were doing
18 the comparison on the bid?

19 A Yes. The sensitivities for the bid reflect the, the
20 new construction costs.

21 Q And those also don't reflect any CO2 emission
22 allowance costs because your base case did not.

23 A That's correct.

24 Q Now with regard to demand-side management programs,
25 is it a fair -- and this is a broad generalization -- to say

1 that demand-side management programs can reduce the capacity
2 and energy demands for each applicant in this case?

3 A Not in a cost-effective manner, no.

4 Q We're not talking about whether it's cost-effective
5 or not. I'm just saying as a general proposition can
6 demand-side management programs reduce the capacity and energy
7 demands for a utility?

8 A Yes.

9 Q Okay. And assuming that you have enough demand-side
10 management that can be both cost-effective and effectively
11 implemented, and by that I mean managed so that those programs
12 produce the amount of savings that are forecasted, it can
13 reduce or defer the amount of capacity needed in any given
14 year; is that correct?

15 A That may be possible.

16 Q And so in the broadest sense demand-side management
17 can be used as an alternative to building supply-side
18 alternatives; is that right?

19 A In a very broad sense based on the previous
20 assumptions you've outlined, yes.

21 Q Okay. And that means it can defer either the
22 self-build options that were identified for each applicant or
23 the TEC unit.

24 A Again, in the context of what you've previously
25 outlined, yes.

1 Q Okay. Now obviously there's several different
2 methods of analyzing whether a demand-side management program
3 or portfolio of programs is cost-effective, and we've discussed
4 basically two different approaches to that in this case. One
5 cost, one method might be or is the City of Tallahassee's
6 approach. And am I correct that that approach starts by
7 screening programs on a dollar-per-megawatt-hour basis or the
8 levelized cost basis over the life of the measure?

9 A That was the initial step taken. Yes.

10 Q Okay. And basically that analysis would be for each
11 demand-side management program you determine what the
12 dollar-per-megawatt levelized cost is and you compare that to
13 the dollar-per-megawatt-hour cost of TEC; is that correct?

14 A No. That's not correct.

15 Q Okay.

16 A The levelized cost screening that you've outlined
17 looks at levelized costs on a dollar-per-megawatt-hour basis,
18 not per megawatt. And it's not appropriate to screen those
19 costs against the costs of Taylor Energy Center because, as I
20 believe Mr. Brinkworth explained, I think it was Friday of last
21 week, you need to consider the duty cycles of the DSM measures
22 versus the duty cycle of Taylor Energy Center.

23 Most DSM measures are going to provide savings during
24 a time of peak periods; whereas, Taylor Energy Center will
25 operate as a baseload unit at a 90 percent capacity factor. So

1 in that sense the duty cycles are drastically different.

2 Q Uh-huh. I understand what you're saying, but I just
3 want to go back to a more fundamental concept here just so I
4 can lay that out simply.

5 It's a dollar-per-megawatt-hour -- when the City of
6 Tallahassee started looking at demand-side management programs,
7 they figured out what the dollar-per-megawatt-hour cost was for
8 those programs, and their very first initial step before they
9 got to the second step that you've just described, which
10 Mr. Brinkworth also described the further analysis, was to
11 simply look at these programs and see which ones were less
12 expensive than TEC's dollar-per-megawatt-hour cost. That was
13 the very initial step.

14 A No, that's not correct. They were screened against
15 like-duty cycles, not against TEC.

16 Q Well, I think they were screened against like-duty
17 cycles in the next step of his analysis, but the very first
18 initial step was to just look --

19 A Just develop the cost. Yes, that was the initial
20 step. Sure.

21 Q And what I'd like to do is hand out the responses to
22 105 because I don't know if you have Exhibit 105 there with you
23 again.

24 A Okay.

25 Q And if you look at Page 26 of that exhibit, which is

1 the data provided by Mr. Brinkworth --

2 A Yes.

3 Q -- then that shows exactly that very first initial
4 step, the levelized dollar per megawatt hour and a description
5 of the programs; correct?

6 A That is correct. Yes.

7 Q In your rebuttal testimony that was filed on
8 November 21st of 2006 you stated as follows: "The 30-year
9 levelized cost for TEC incorporating the updated capital cost
10 estimate for TEC discussed in the rebuttal testimony of
11 Paul Hoornaert and including sulfur dioxide, nitrogen oxides
12 and mercury emission allowances prices is approximately
13 \$65.50 per megawatt hour. For informational purposes,
14 consideration of the fuel and emission allowance prices
15 corresponding to Hill & Associates' hypothetical
16 carbon dioxide-regulated scenario as well as the updated TEC
17 capital cost estimate results in the 30-year levelized cost for
18 TEC of approximately \$74.05 per megawatt hour."

19 Is this statement still true and correct to the best
20 of your knowledge and belief?

21 A Yes, it is.

22 Q Can you explain what is meant by the term "levelized
23 cost of energy"?

24 A Yes. The levelized cost of energy takes into
25 consideration the capital cost of the alternative, and we'll

1 focus on supply-side alternative for this discussion. The
2 capital cost of the supply-side alternative, fuel costs for the
3 supply-side alternative, operation and maintenance costs and,
4 in this case, SO₂, NO_x and mercury allowance prices.

5 It calculates an annual cost per megawatt hour which
6 is then levelized based on the present worth discount rate,
7 which for our analysis was 5 percent. So it takes into account
8 the time value of those costs, aggregates all the costs over
9 the 30-year period in this case and brings them back to current
10 dollars.

11 Q Okay. And because you did not use the same
12 methodology as the City of Tallahassee, you did not develop a
13 dollar-per-megawatt-hour levelized cost for the 180 DSM
14 programs that you analyzed; is that right?

15 A That's correct.

16 Q Now your analysis of cost-effectiveness for
17 demand-side management programs was done using the FIRE model;
18 is that right?

19 A Yes, ma'am.

20 Q And that's basically the initial method that you used
21 to screen potential demand-side management programs. And you
22 did -- you ran the FIRE model for DSM for JEA and FMPA; is that
23 right?

24 A Yes. That's correct.

25 Q Okay. You did not run them for Reedy Creek or the

1 City of Tallahassee; is that right?

2 A That's correct. Reedy Creek --

3 Q Well, if I can --

4 A Oh, go ahead.

5 Q Okay. I can just maybe do this quicker.

6 And the reason you didn't run them for Reedy Creek is
7 because with the exception of the thermal storage facility that
8 Mr. Guarriello spoke about Reedy Creek has no demand-side
9 management programs of its own. That's part of your reason;
10 right?

11 A No, that's not part of my reason.

12 Q Well, is the -- is it true that Reedy Creek only has
13 one program of its own, which is the thermal storage facility
14 program spoken about by Mr. Guarriello?

15 A I don't think that's true.

16 Q Reedy Creek, not Walt Disney World or not the
17 individual hotels.

18 A Okay. That may be true.

19 Q Okay. And that your understanding, based upon what
20 Mr. Guarriello told you, was that Walt Disney World as well as
21 the hotels were aggressively pursuing demand-side management
22 conservation measures, all the measures that they deemed
23 cost-effective; is that right?

24 A Yes. My understanding and the reason that no further
25 analysis was performed was, as you mentioned, the unique

1 customer bases of Reedy Creek. Also taking into consideration
2 Reedy Creek has a substantial need for additional capacity in
3 the 2011/2012 time frame, coupled with their unique customer
4 bases and the significant savings they're achieving through DSM
5 already, there's no basis to believe that there are additional
6 DSM measures that could be implemented and, therefore, none
7 were evaluated.

8 Q Okay. Now with regard to the actual programs that
9 Walt Disney World actually has in effect, its actual
10 demand-side management programs, you made no independent
11 analysis of that program, did you, any of those programs?

12 A That's correct. I did not.

13 Q Okay. And the same is true for any of the hotels
14 that are part of Reedy Creek's system.

15 A Correct.

16 Q Okay. So you don't know if any of the programs that
17 are actually being implemented by Walt Disney World at this
18 time would pass the RIM test or not pass the RIM test; isn't
19 that right?

20 A That's correct.

21 Q Okay. And the same would be true for the hotels; is
22 that right?

23 A Yes, ma'am.

24 Q Likewise, you have -- since you didn't do a FIRE
25 model evaluation of Tallahassee's new DSM portfolio, you don't

1 know how many of those, if any, would pass the RIM test; is
2 that right?

3 A For the City of Tallahassee I don't know. I have
4 done analysis of the City of Tallahassee's DSM portfolio, each
5 of the measures included in that portfolio for FMPA and JEA,
6 and none of those measures passed the RIM test.

7 Q Okay. So you had 180 programs that you looked at for
8 FMPA and JEA, and those are listed on Pages 1 through 8 of
9 Exhibit Number 105; is that right?

10 A I show them listed beginning on Page 10. Your
11 question, if I might restate it, was the DSM measures evaluated
12 for FMPA and JEA?

13 Q Let's see. If I look on NRDC's second set of
14 interrogatories, which is Exhibit 105 -- do you have those?

15 A Yes, I do.

16 Q Okay. On Number 1 it says -- Table 1, it says, "List
17 each DSM measure available or evaluated." And there's a list
18 that starts on Page 2.

19 A Okay. Yes, I see that.

20 Q Okay. I was under the impression that those were the
21 measures evaluated by -- in your DSM evaluation. Is that
22 incorrect?

23 A No. You're correct.

24 Q Okay. Now ACEEE and other efficiency experts have
25 stated in the Navigant report, which is Exhibit 106 in this

1 case, and in other reports that there are over 5,000 DSM
2 programs currently available on the market. How did you choose
3 the 180 that are listed here?

4 A The 180 DSM measures that are listed and were
5 evaluated represent a wide range of end uses and are pertinent
6 to residential, commercial and industrial customer classes.

7 Q Okay. Did you reference or consult any of the
8 studies in the Navigant, referenced in the Navigant report
9 regarding other DSM measures?

10 A No, I did not.

11 Q And you just testified and you said also at your
12 deposition that there were industrial DSM measures considered.
13 And looking on Pages 2 and 3 --

14 A Yes.

15 Q -- I can find residential and commercial but no
16 industrial.

17 A Okay. The industrial measures are included in the
18 commercial table, which I believe is Table 1 on Page 2.

19 Q Okay.

20 A And if you look, there's a description for the
21 commercial measures, whether they affect what's labeled GSND,
22 which is general service nondemand, GSD, which is general
23 service demand, or GSLD, which is general service large demand.

24 GSND and GSD are commercial measures. GSLD, general
25 service large demand, are the industrial measures.

1 Q Thank you. And would those GSLD also apply to
2 manufacturing customers?

3 A They may if those manufacturing customers are
4 classified as GSLD based on their demand.

5 Q Okay. Where do manufacturing customers -- do they --
6 in other words, what I'm trying to ask is is there any specific
7 program that you evaluated aimed specifically at the
8 manufacturing community?

9 A The manufacturing would likely fall under the GSLD or
10 the industrial customers. Yes.

11 Q Okay. Now as I understood your testimony at
12 deposition, these 180 programs are all new programs and not
13 existing programs; is that right?

14 A That's correct.

15 Q Okay. And here's how I got a little confused about
16 that.

17 When I look at your chart on Page 2, it says,
18 "Commercial existing." And then it says on Page, on the next
19 page, Page 3, "Commercial new." So how does that work?

20 A Well, it's -- commercial existing or residential
21 existing, the nomenclature used in the application is the same.
22 It means that the DSM measure targets existing construction,
23 not that it's a program currently being offered by the
24 applicant. The same with new. If it says new, it's a program
25 aimed at new construction.

1 Another way to look at it is if it says existing, it
2 would be kind of a retrofit of existing equipment. If it says
3 new, you would install the equipment instead of standard
4 equipment when constructing a new facility.

5 Q Okay. That's real helpful because I really was kind
6 of confused about that.

7 Did you compare the 180 programs that you
8 evaluated -- did you analyze the demand-side management
9 programs that are currently in existence on FMPA's system or
10 JEA's system to see if any of the programs that you analyzed
11 were being implemented today?

12 A Yes, I did.

13 Q Okay. And what is the percentage of that?

14 A I don't think there were any that, that were
15 evaluated that are currently being offered.

16 Q Okay. So all of the savings that could be realized
17 from your 180 programs would be incremental savings on top of
18 what they're already doing.

19 A Correct. The savings resulting from FMPA's, JEA's,
20 Tallahassee's and Reedy Creek's individual DSM and conservation
21 programs are reflected in their load forecasts. So, yes, my
22 analysis would look at incremental DSM savings above and beyond
23 what are being achieved by each applicant.

24 Q Okay. Do you know if FMPA keeps any data on their
25 individual, or if their individual municipalities keep any data

1 as to how effective their existing programs are?

2 A I'm not familiar with how they track that
3 information.

4 Q Okay. Do you know whether JEA does that?

5 A No, I don't.

6 Q Now in your FIRE model, can you briefly explain what
7 the inputs are into that model?

8 A Yes. The FIRE model requires a number of inputs
9 related to both the demand-side management measure being
10 evaluated as well as the avoided unit, in this case Taylor
11 Energy Center, as well as the utility's system. DSM measure
12 inputs relate to energy savings, peak demand savings, ongoing
13 or recurring costs for maintenance, if applicable, initial cost
14 of implementing the DSM measure, any incentive that the utility
15 would provide to the customer who implements the DSM measure,
16 any administrative costs that would be incurred in implementing
17 the DSM measure.

18 The assumptions related to the avoided unit would
19 include capital costs, installed costs, operating and
20 maintenance expenses, anything else related to the cost of the
21 unit. And the FIRE model also takes into consideration the
22 difference in system fuel costs between having the unit in
23 place and not having the avoided unit on the system. And then
24 the, from the utility's perspective existing utility rates are
25 an input to the model as well.

1 Q Okay. Now I'm looking again on Page 2 where you laid
2 out your analysis, and it says, "Customer kW reduction at the
3 meter, customer kWh increase at the meter, customer kWh
4 reduction at the meter."

5 What I'm interested in knowing is what is the time
6 period indicated? For example, on the very first business
7 on-call direct load control. Okay?

8 A Yeah.

9 Q And it says, "Customer kW reduction at the Meter 1.
10 Customer kWh reduction at the Meter 1." Okay. So that's --
11 what -- over what period of time? Is this annually? What is
12 it?

13 A Well, the example you discussed, on-call direct load
14 control, is a direct load control program. So that would be
15 occurring at the time of peak over the year. So it would
16 reduce demand by one kilowatt when implemented.

17 I think it might be more illustrative to kind of go
18 down to some of these other measures that have a higher
19 kilowatt hour reduction associated with them.

20 Q Is this one -- I guess what I'm -- are these numbers
21 annual numbers or are they -- I mean --

22 A Yeah. They're -- the numbers are annual numbers per
23 participating customer.

24 Q Okay.

25 A Yes.

1 Q And where did these amounts come from? In other
2 words, how did you -- I understand about the direct load
3 control. That makes perfect sense. But for some of the other,
4 some of the other measures, like if I go down to heat pump
5 water heater for GSND and it says 4.65, where did that number
6 come from? And that's down at the bottom, Mr. Kushner. I'll
7 hold up my chart so you can see what that looks like.

8 A I see it. Thank you.

9 The heat pump water heater, again just for discussion
10 purposes, it's a different type of heat pump water heater than
11 would be the standard or using a heat pump water heater in
12 place of a different type of water heater. So it's -- the
13 customer kW reduction at the meter is based on information
14 provided by manufacturers of the technology as far as
15 efficiency gains that you would realize if you use the heat
16 pump water heater. The same with the kWh reduction, it would
17 be efficiency energy savings. So those are incremental
18 kilowatt and kilowatt hour savings associated with the measure
19 being considered.

20 Q Okay. And I believe you told me you got those from
21 the industry, you got those from the manufacturer, the
22 appliance guy.

23 Is there some database that the FIRE model uses for
24 these?

25 A Not in particular. It's an ongoing database that I

1 maintain, and a lot of the information is available from
2 consumer websites. You can get efficiency ratings on various
3 appliances off of Home Depot's website, for example. Also
4 there's different contracting and construction catalogues that
5 include information on various different efficiency measures.

6 Q Okay. So this is a proprietary database that
7 Black & Veatch maintains?

8 A More or less, yes.

9 Q Okay. And how often do you update that database?

10 A It's reviewed prior to being used in proceedings such
11 as this. In addition, as more DSM programs or the costs
12 associated with the DSM programs included in the database
13 change, I'll update those appropriately. A good example is
14 maybe five years ago the incremental cost for a fluorescent
15 light bulb was \$6. Now it's significantly lower. So as kind
16 of time evolves and new events transpire it gets updated.

17 Q Okay. And I looked at the residential heat pump
18 water heater estimates on your chart.

19 A Okay.

20 Q And got a 1,739-kilowatt hour a year reduction. And
21 then I looked at the same measure on the City of Tallahassee's
22 table, which is on Page 4, and they indicated it was a
23 2,102 annual kilowatt hour reduction. Is that just a
24 difference in the databases?

25 A I don't see the initial number you pointed to. Can

1 you show me where that number is, please?

2 Q Yep, I hope so. It's the, it's the second from the
3 bottom on Page 2 -- or Page 3. I'm sorry. You see where it
4 says --

5 A Okay. Page 3.

6 Q -- "Add on heat pump water heater new residential"?

7 A Okay.

8 Q Okay. And then for, on Page 4 it says, "Heat pump
9 water heater single family."

10 A Right. I see that. Yes.

11 Q Okay.

12 A I'm not terribly familiar with the source of the data
13 presented in the City of Tallahassee's table as that was
14 provided by a third party.

15 Q Uh-huh.

16 A So my speculation would be it's just a matter of
17 looking at different sources.

18 Q Okay. And all of these measures were analyzed again
19 on an individual basis. No programs were combined to reduce
20 administrative or marketing costs or enhance or potentiate the
21 effectiveness of programs.

22 A That's correct.

23 Q And am I correct that for FMPA they were modeled on
24 an aggregate basis and no analysis was done for the individual
25 15 members, participating members?

1 A That's correct. The DSM evaluation for FMPA looked
2 at the system costs associated with the dispatch of FMPA's all
3 requirements project members on an aggregate basis, which is in
4 actuality how the system is dispatched. Yes.

5 Q Okay. For the FMPA analysis you used the Kissimmee
6 Utility Authority residential rates and the City of Leesburg
7 rates for commercial; is that correct?

8 A Yes. Commercial and industrial. Yes.

9 Q Okay. And these were the lowest rates for those
10 customer classes; is that right?

11 A Yes, ma'am.

12 Q Okay. Had you used the highest rates for residential
13 or commercial, do you know what the effect on the model would
14 be?

15 A Specifically I don't know what the changes would be.
16 In general terms, use of higher rates decreases the
17 cost-effectiveness of the DSM measures from the rate impact
18 test perspective.

19 The decision to use the lower rates was actually in
20 response to a request that I had received from the
21 Public Service Commission staff in a previous need for power
22 filing for FMPA in which we used the higher rates, and they
23 requested that we rerun the analysis using the lowest rates.
24 And that's the basis of my assertion that the lower rates
25 actually provide more cost-effective results for the DSM.

1 Q Okay. Under the RIM test.

2 A Yes, ma'am.

3 Q Okay. Part of your model inputs that you discussed
4 before was the total cost for the customer and the utility of
5 implementing these programs. Do you know what payback period
6 is assumed where customers are given rebates or incentives?

7 A Specifically I don't. The rebates that have been
8 included are representative of what's being offered by other
9 utilities who do offer similar programs.

10 One thing I'd like to point out too is a number of
11 these show there's no rebate being offered by the utility. And
12 when performing the analysis from the rate impact test
13 perspective, that's a favorable assumption because if the
14 utility had to incur additional costs, well, in this case any
15 costs above zero, the results of the rate impact test would
16 worsen.

17 Q Okay. And so you don't know whether the payback
18 periods for these programs were less than two years or greater
19 than two years?

20 A Again, I haven't specifically analyzed what the
21 payback period would be. No.

22 Q And it could be that the payback period between
23 programs is different; is that right?

24 A It could be. Yes.

25 Q And I think you told us that you used the rates for

1 each individual utility because obviously that's a necessary
2 input into the RIM test. And the total cost for the avoided
3 unit, is what you used in this FIRE analysis the -- I'm going
4 to say this wrong -- \$2,078,084,000 updated TEC cost?

5 A Give me a moment to check something, please.

6 Q Sure.

7 A Yes. That capital cost you referenced, just
8 hopefully to avoid confusion in the future, is representative
9 of the updated capital costs for Mr. Hoornaert for the unit and
10 includes the cost for the initial coal pile that I added. And
11 from an avoided unit perspective, in the FIRE model I also
12 included transmission costs and losses.

13 Q Okay. And the transmission costs and losses that you
14 included, those were in part of the record with Mr. Myers?

15 A No, I don't think it was Mr. Myers. Just for the
16 sake of simplicity, I've discussed what those costs are
17 throughout the application. They're based on the tariff rates
18 for FPL and Progress Energy for JEA because at JEA we use both
19 FPL's and Progress Energy's systems to get capacity from
20 Taylor Energy Center to their service territory. And the rates
21 used in the FIRE model for FMPA were based on Progress's rates
22 as they would use Progress to get capacity from Taylor to their
23 service territory.

24 Q And that's Progress's OASIS rates; right?

25 A Their tariff rates. Yes. Yes, ma'am.

1 Q Their tariff rates.

2 Okay. The fuel costs that you used are
3 Latin American coal plus pet coke less than 30 percent;
4 correct?

5 A That's correct. Yes.

6 Q Okay. And are those Mr. Myers' numbers, so they're
7 adjusted Hill & Associates numbers?

8 A Yes. They are the delivered fuel price projections
9 provided by Mr. Myers.

10 Q And did you use the same figures in this FIRE model
11 for capital costs and fuel costs as were used in the base case
12 for TEC?

13 A The updated cost estimates.

14 Q Right.

15 A Yes. The O&M costs are all the same also.

16 Q Okay. And did this include addition of the activated
17 carbon injection variable O&M costs testified to by
18 Mr. Hoornaert?

19 A No. The -- let me back up.

20 The capital costs for the activated carbon injection
21 system is included as testified to by Mr. Hoornaert. The O&M
22 costs were not included.

23 Q Okay. And did this include revised labor costs for
24 the operation of the plant as testified to by Mr. Hoornaert?

25 A There are no revised labor costs.

1 Q Okay. Now the output of this FIRE model is contained
2 somewhere starting on Page 10 of interrogatory -- that's,
3 that's Interrogatory Number 3, is that right, of Exhibit 105?

4 A Yes, ma'am.

5 Q Okay. And that shows, describes the DSM measure and
6 then gives a rate impact test ratio, a participant ratio and a
7 total resource test ratio; is that right?

8 A That's correct.

9 Q Okay. And the ratio that's shown here is the ratio
10 of the costs of the DSM program to the costs of the avoided
11 unit, which in this case is TEC; right?

12 A It's a benefit-to-cost ratio; the benefits of the DSM
13 program versus the costs of DSM program.

14 Q Okay. And the same TEC data is used for all of the
15 applicants; right?

16 A The same capital costs, operating costs, fuel cost
17 assumptions.

18 Q Right.

19 A Yes, ma'am.

20 Q Okay. And if I'm reading this correctly, none of the
21 180 programs screened passed the RIM test; right?

22 A That's correct.

23 Q Okay. And that's the basis for your conclusion that
24 there is no cost-effective DSM measures that can reduce or
25 defer the 765-megawatt TEC unit; is that right?

1 A Yes, ma'am.

2 Q And you have different values for FMPA and for JEA
3 because obviously they have different operating costs.

4 A Completely different systems.

5 Q Right.

6 A Yes.

7 Q And also different rates, I assume.

8 A Yes, ma'am.

9 Q Now on Exhibit Number 3 you did a DSM sensitivity
10 analysis. And you did that for -- I don't think it's reflected
11 on Exhibit 3. Let me strike that. Let me say you did do a DSM
12 sensitivity analysis for FMPA and JEA as well; right?

13 A It wasn't a sensitivity analysis. It was the DSM
14 analysis for FMPA and JEA.

15 Q Okay.

16 A Yes.

17 Q And, well, here's what I'm asking about. I thought
18 at your deposition you told me that you did a high fuel
19 sensitivity DSM analysis and a regulated CO2 sensitivity
20 analysis.

21 A For FMPA and JEA, that's correct. Yes.

22 Q Okay. And in the high fuel sensitivity analysis I
23 assume that you used Mr. Myers' high fuel numbers.

24 A That's correct.

25 Q And in the regulated CO2 sensitivity analysis did you

1 use Mr. Preston's MP-5 numbers?

2 A Yeah. I think there might be a little bit of
3 confusion on this.

4 The previous question you asked, I used Mr. Myers'
5 high fuel price numbers, which Mr. Preston provided the
6 commodity costs for the fuels under a high fuel scenario and
7 the emission allowance prices, and then Mr. Myers accounted for
8 the various components of transportation and delivery to get a
9 delivered cost estimate. So, yes, I used the high fuel costs
10 provided by Mr. Myers based on the high fuel sensitivity
11 developed by Mr. Preston. And similarly for the regulated CO2
12 case, used the delivered fuel prices provided by Mr. Myers
13 based on the projections provided by Mr. Preston.

14 Q Okay. In order for me to understand this, let me
15 just see if this is right. On your high fuel sensitivity
16 analysis for DSM you used all of Mr. Myers' numbers.

17 A Correct. For the high sensitivity. Yes.

18 Q Okay. But for the regulated CO2 sensitivity DSM
19 analysis you used all of the numbers on Mr. Preston's MP-5.

20 A No. Those numbers presented by Mr. Preston on
21 Exhibit MP-5 did not include delivery costs. Mr. Myers
22 provided the delivered fuel costs for the regulated
23 CO2 sensitivity.

24 Q Okay. And is that in the record anywhere,
25 Mr. Kushner?

1 A I believe it was in -- well, I believe it's in
2 Mr. Myers' testimony, and I also believe it's in Section A.4 of
3 the application. There's a delivered price forecast for the
4 base case, low case, high case and regulated CO2 sensitivities.
5 If you'd like me to take a minute, I can point you to that.

6 Q No. That's fine. I'll look. I was just trying to
7 figure out if they were the same, if they were matched up.
8 That's all. And apparently they are. Thank you.

9 Now since none of these DSM tests passed the RIM test
10 you could have stopped at that, that step of the DSM
11 evaluation. Is it correct that you went ahead with the next
12 step, even though no programs passed the RIM test?

13 A What is the next step?

14 Q I think you, in your deposition on Page 26 you
15 described the methodology for if a test passes the RIM test,
16 what one does next.

17 A I believe what I described in my deposition is the
18 methodology I used in support of a statement in my testimony
19 about if you ignore the results of the rate impact test but
20 look at the measures that pass the total resource test for FMPPA
21 or JEA, there are a number of assumptions you need to make to
22 determine if all of those measures that passed the total
23 resource cost test were implemented, how much capacity could be
24 saved.

25 Q Okay.

1 A Yes.

2 Q And you did, in fact, do that analysis; is that
3 correct?

4 A I did. Yes.

5 Q Okay. And is it true that as a result of that
6 analysis JEA could save about 100 megawatts?

7 A That's correct. Yes.

8 Q And FMPA could save about 200 megawatts?

9 A That's correct. Yes.

10 Q You've made, made statements at your deposition
11 concerning how, quote, ambitious the City of Tallahassee's DSM
12 portfolio is, and you also made statements in your revised
13 rebuttal at Page 7 comparing the projected results of the
14 savings that the City of Tallahassee anticipates will be
15 realized with those of Florida Power & Light. Do you remember
16 those statements, Mr. Kushner?

17 A Yes, ma'am.

18 Q And I believe that you said that you had looked at
19 the 2006 Ten-Year Site Plan of FPL and determined that FPL had
20 savings of 12 percent demand and 4 percent energy; is that
21 right?

22 A During 2005, yes.

23 Q Yes.

24 A That was FPL's actual savings.

25 Q Okay. What type of independent study have you done

1 to confirm that these savings are, and I quote, the largest
2 demand savings from conservation of any utility in the
3 United States?

4 A FPL had made a presentation earlier this year in the,
5 I believe it was the cost recovery clause hearing to the
6 Public Service Commission. In that presentation they presented
7 a number of slides. One of the slides indicated that that was
8 indeed FPL's position related to conservation. I have made no
9 attempt to independently verify that.

10 Q Do you have any idea how Tallahassee's new
11 demand-side management portfolio compares with that of FPL?

12 A As far as the measures that are included?

13 Q Yes, sir.

14 A No, ma'am, I don't.

15 Q And do you know how rigorously Florida Power & Light
16 markets its DSM programs?

17 A No, I don't.

18 Q Do you know how its marketing efforts compare to
19 those proposed by the City in this case?

20 A No, I do not.

21 Q Okay. And do you also know how often FPL monitors
22 its demand-side management programs in order to improve their
23 effectiveness?

24 A No.

25 Q Is it true that all of those factors could directly

1 influence the amount of demand and energy savings actually
2 realized by Florida Power & Light or the City of Tallahassee?

3 A Yes.

4 Q Is JEA the only applicant whose annual sales to
5 end-use customers is greater than 2,000 gigawatt hours?

6 A Without reviewing each application right now, I don't
7 know.

8 Q Okay. Is it true that you have to have sales of more
9 than 2,000 gigawatt hours to be regulated for your conservation
10 goals to be set pursuant to the conservation goals docket in
11 Section 366.82?

12 MR. PERKO: Calls for a legal conclusion.

13 CHAIRMAN EDGAR: Why don't you rephrase.

14 MS. BROWNLESS: Okay. Maybe I can just take a minute
15 and --

16 CHAIRMAN EDGAR: Yes.

17 BY MS. BROWNLESS:

18 Q Is the forecast for the individual utility applicants
19 here the energy and demand forecast for each applicant in this
20 record, Mr. Kushner?

21 A I don't understand your question. If you're asking
22 did I use the demand and energy forecasts presented in the
23 application for each applicant in my analysis, the answer is
24 yes.

25 Q Okay. I understand that. My question is is there

1 somewhere in this application where the actual energy and
2 demand forecasts are stated?

3 If he knows, great. If he doesn't know, that's fine.

4 MR. PERKO: The record speaks for itself obviously.

5 CHAIRMAN EDGAR: Ms. Brownless --

6 MS. BROWNLESS: I'll move on.

7 CHAIRMAN EDGAR: Thank you.

8 BY MS. BROWNLESS:

9 Q For your sensitivity analysis of the IGCC that's on
10 the second charts of Table Number 3, did you revise the capital
11 costs for IGCC as well as the capital costs for TEC?

12 A Yes. As discussed by Mr. Klausner, the capital cost
13 was updated for the IGCC alternatives.

14 Q And did you also revise the O&M costs for IGCC as
15 well?

16 A No. There's been no adjustments made to O&M costs.

17 Q If you can look at your revised rebuttal on Pages
18 10 and 11.

19 A Yes.

20 Q And in this section you talk about the Synapse CO2
21 allowance projections; is that right?

22 A Yes, ma'am.

23 Q And the --

24 MR. PERKO: I'm sorry, Counsel. I'm sorry, Counsel.
25 Could you say where you are in the testimony?

1 MS. BROWNLESS: I'm on Page 10 of his revised
2 rebuttal.

3 MR. PERKO: Thank you.

4 BY MS. BROWNLESS:

5 Q And do you happen to have a copy of what's been
6 marked as Exhibit 79, which is Dian Deevey's Exhibit Number 5,
7 the Synapse Energy report? We can provide it to you, if you
8 need it.

9 A I don't have one up with me right now.

10 Q And I'm just going to hand you Pages 39 through 42 of
11 that report. Just because we all don't have --

12 A Okay.

13 Q In the excerpt that I handed out, Mr. Kushner, are
14 those Pages 39 through 42 of the Synapse report?

15 A Yes.

16 Q Okay. And if you could just look at the chart on
17 Page 40, please.

18 A Okay.

19 Q Okay. And this shows a low, mid and high case for
20 CO2 emissions; is that correct?

21 A Yes, it does.

22 Q All right. At your deposition you were asked by
23 staff how Mr. Preston's CO2 emissions generally compared to the
24 Synapse studies. Do you remember that?

25 A Yes, ma'am.

1 Q Okay. And can you take a minute to look at these
2 Synapse low, mid and high case and tell me if the Synapse low
3 energy forecast is higher or lower than that of H&A?

4 A In some years Hill & Associates' forecasts of CO2
5 emission allowance prices are higher than those provided by
6 Synapse, other years they are not.

7 Q Okay. Would you accept, subject to check, that in
8 the years 2011 through 2017 Hill & Associates' are higher than
9 the low case forecast?

10 A Yes, ma'am.

11 Q Okay. And that for the years 2017 through 2030 they
12 are lower than the Hill & Associates forecast?

13 A Subject to check, yes.

14 Q Okay. And is it true that the Hill & Associates
15 forecast is lower than Synapse Energy's mid forecast throughout
16 the entire period?

17 A Yes.

18 Q And that's also true for their high forecast;
19 correct?

20 A Yes.

21 Q And so your testimony then would be consistent with
22 the chart that Dr. Lashof prepared that was attached to what's
23 been marked for identification but not admitted as Exhibit 110?

24 MR. PERKO: Objection, Your Honor, or Madam Chair. I
25 think that's just a backhanded way of trying to get evidence

1 that was excluded into the record.

2 CHAIRMAN EDGAR: Ms. Brubaker.

3 MS. BRUBAKER: I suppose if there's a way to rephrase
4 the question or if you can -- if the exhibit is not, hasn't
5 been admitted, I --

6 MS. BROWNLESS: We understand it hasn't been
7 admitted. And all we're trying to do, Your Honor, is to
8 proffer the question pursuant to the rule. And if he can
9 answer the question, that's fine. I'll understand that it's a
10 proffer, if the Chair so rules.

11 CHAIRMAN EDGAR: Mr. Perko.

12 MR. PERKO: So long as it's understood it's a
13 proffer, that's fine.

14 CHAIRMAN EDGAR: So noted.

15 Ms. Brownless, why don't you pose it again.

16 MS. BROWNLESS: Yes, ma'am.

17 BY MS. BROWNLESS:

18 Q And so, therefore, your testimony today is consistent
19 with the chart that Dr. Lashof prepared that has been marked
20 for identification as Exhibit 110?

21 A I don't have that chart in front of me.

22 (Witness handed exhibit.)

23 The chart I was handed shows that Hill & Associates'
24 CO2 emission allowance forecasts are higher in some years and
25 lower in other years than Synapse.

1 Q Consistent with your testimony; correct?

2 A Yes, ma'am.

3 Q Thank you.

4 CHAIRMAN EDGAR: Ms. Brownless, let me interject for
5 just a moment. The questioning of this witness has been, by my
6 count, a little over an hour. Can you give me a feel for about
7 --

8 MS. BROWNLESS: We have two questions and we're done.

9 CHAIRMAN EDGAR: Two more questions to go. All
10 right.

11 BY MS. BROWNLESS:

12 Q You did not conduct a rate study to determine the
13 projected rate impact on TEC of any of the participants, did
14 you?

15 A That's correct.

16 Q Now my understanding is that it is your opinion that
17 the City of Tallahassee's participation in TEC will still be
18 cost-effective for them; is that correct?

19 A Yes, ma'am.

20 Q Okay. And is the basis for that statement that the
21 City will be replacing its existing higher cost natural
22 gas-fired combined cycle power with lower cost baseload coal
23 power?

24 A That's true to an extent, but -- and I'm under the
25 assumption you're referring to -- well, what are you referring

1 to, which particular case?

2 Q Here's what I'm trying to get at.

3 A Okay.

4 Q In this case we've heard testimony that the City's
5 projected forecast for its current demand-side management
6 portfolio will defer its need for power from 2012 to 2016; is
7 that correct?

8 A It may defer its need. Yes.

9 Q Okay. They project that it will do so.

10 And during the four years that its need has been
11 deferred my understanding is that it's your opinion that it
12 would still be cost-effective for the City to participate in
13 TEC in 2012; correct?

14 A Yes, ma'am.

15 Q Okay. And the basis for that understanding is that
16 higher priced, the City's higher priced natural gas-fired
17 combined cycle capacity would be replaced by lower cost TEC
18 coal capacity; is that right?

19 A Yes. It's not just natural gas combined cycle
20 capacity. They do have other gas units on their system. And
21 over the 2035, 2035 evaluation period, actually by 2025, even
22 if the City's DSM portfolio realizes the savings projected,
23 they will have a need for approximately 130 additional
24 megawatts. So there is a time, even if those DSM savings are
25 realized, where they do need the capacity, and that need starts

1 in 2016. So it's a combination of those factors. Yes.

2 Q Okay. And if I understand your analysis, is it true
3 that as long as the City needs any amount of capacity during
4 the years 2012 to 2016 the TEC unit will still be the most
5 cost-effective unit in your opinion?

6 A Yes, ma'am.

7 MS. BROWNLESS: Thank you. That's all I have, ma'am.

8 CHAIRMAN EDGAR: Mr. Paben?

9 MR. PABEN: I don't have any additional questions.

10 CHAIRMAN EDGAR: Okay. Mr. Jacobs.

11 MR. JACOBS: Thank you, Madam Chairman. I have a
12 bit.

13 CHAIRMAN EDGAR: Can I -- I'm sorry. Can you give me
14 an approximate idea?

15 MR. JACOBS: About 20 minutes.

16 CHAIRMAN EDGAR: Okay. Let's go ahead and just give
17 the witness and the rest of us a few minutes to stretch. We
18 will come back at five after. And don't go real far, but let's
19 just take a few minutes.

20 (Recess taken.)

21 BY CHAIRMAN EDGAR:

22 Q We will go back on the record.

23 Mr. Jacobs.

24 MR. JACOBS: Thank you, Madam Chair.

25 CROSS EXAMINATION

1 BY MR. JACOBS:

2 Q Good afternoon, Mr. Kushner.

3 A Good afternoon, Mr. Jacobs.

4 Q I'd like to just touch on just a few brief points.

5 First, let's go back to the question of capital costs. I
6 believe earlier today in your testimony you indicated that you
7 had relied on Mr. Hoornaert in his analysis of the revised
8 capital cost numbers; is that correct?

9 A I relied on Mr. Hoornaert's revised capital costs for
10 the Taylor Energy Center and Mr. Klausner's revised capital
11 costs for the alternatives.

12 Q Okay. And I also believe that you testified when
13 questioned about labor costs that there were no revised labor
14 costs in the updated capital costs?

15 A I believe the question related to operating labor
16 costs. There are no revised operating labor costs.

17 Q Okay. So let's then ask the question about are there
18 updated labor costs that apply to TEC?

19 A Those are reflected in the updated capital cost
20 estimate for Mr. Hoornaert. Yes.

21 Q Okay. And do you know what that number is?

22 A No, sir, I don't.

23 Q Okay. In his, in his deposition transcript, we don't
24 need to turn there, subject to check, on Page 24 he indicates
25 that there's a 3.5 percent factor for updated labor costs.

1 Does that sound reasonable to you?

2 A Subject to check, sure.

3 Q Okay. And then, so then my question would then be
4 the cost analysis, cost sensitivity analysis, does it reflect
5 that increase?

6 A Yes, sir, it does.

7 Q Okay. In, in your cost analysis, the element for
8 fuel, am I to understand that you used cost projections for,
9 particularly I'm speaking to natural gas now, that came from
10 Hill & Associates or from another --

11 A The natural gas price projections I used in my model
12 were the delivered natural gas price projections provided by
13 Mr. Myers.

14 Q Okay. And that, and those projections produced the
15 results that were earlier discussed on the, on the tables, the
16 sensitivity analysis tables that you spoke to earlier?

17 A Yes. There's the base case and then there's the high
18 fuel and the low fuel and the regulated CO2 sensitivity. Yes.

19 Q Okay. Now are you aware that the City of Tallahassee
20 in its integrated resource planning uses gas, projected gas
21 prices from another source?

22 A I'm aware of that. Yes.

23 Q And are you aware of what the results were in
24 Tallahassee's revenue requirements analysis using those, those
25 natural gas prices?

1 A Those natural gas prices were not used in the need
2 for power application.

3 Q Okay. Okay. I accept that. But they were used in
4 Tallahassee's IRP; correct?

5 A Yes.

6 Q And are you aware of what those results were?

7 A I'm aware that there were literally hundreds of cases
8 analyzed in Tallahassee's IRP. So if you can be more specific,
9 I might be able to answer your question.

10 Q Sure. Fair enough. I'd be particularly interested
11 in the -- just one moment.

12 I'm pretty sure this is the, the, their cost analysis
13 of, from 2007 to 2016 comparing gas, coal and pet coke, and I
14 think this is the base case. This is the coal, coal purchase
15 base case.

16 A I don't know what you're referring to, sir.

17 Q Okay. Well, I don't have copies, so I'll move on.

18 Let me ask this question. Are you aware that in
19 Tallahassee's IRP that the cost difference between their
20 participation in TEC and a coal, I'm sorry, a gas option in the
21 year, in the years 2014, 2015 where the difference was
22 negligible?

23 A I don't know that it was negligible. Again, I'm not
24 quite sure which case and which scenario you're referring to in
25 their IRP.

1 Q Okay.

2 A If you could be more specific.

3 Q This -- and I won't belabor this too long, but let me
4 just try one more, one more stab at it.

5 There is a gas base case analysis that was done
6 looking at the years 2007 to 2016 and then there was a coal
7 purchase base case analysis, again looking at the same time
8 period. And in the gas case the, the differences were
9 basically zero between TEC and the gas up through 2015 and in
10 the coal purchase they were, the differences were small.

11 A I'm sorry. I really have a difficult time --

12 Q Okay. We'll move on.

13 A -- answering that without being able to see anything.

14 Q Okay. We'll move on.

15 Let's talk a little bit about DSM. Your resume
16 indicates that you conducted DSM cost-effectiveness analyses
17 prior to TEC for OUC and JEA. Are there any other projects
18 where you did that?

19 A Yes, sir. FMPA's Treasure Coast Energy Center
20 Unit 1 Need for Power Application, OUC, Orlando Utility
21 Commission's Stanton Energy Center Unit B, OUC's 2004 Numeric
22 Conservation Goal and Demand-Side Management Plan, JEA's 2004
23 Numeric Conservation Goals and Demand-Side Management Plan. I
24 believe those are the analyses that I have performed and
25 submitted to the Public Service Commission in the past.

1 Q And in all of those what was the cost-effectiveness
2 process analysis used?

3 A The cost-effectiveness --

4 Q Test used. Yes. Which test?

5 A -- test used? Yes, it was the rate impact test.

6 Q In all cases?

7 A Yes, sir.

8 Q Are you familiar with any recent assessments of DSM
9 resources? Of course, in this instance we've done, we've
10 done -- we've utilized the FIRE model and we've discussed
11 already Tallahassee's cost-effectiveness test. Are you aware
12 of assessments done by any other bodies in Florida using one or
13 another -- one -- either one of those or another rate impact
14 test?

15 A No, I'm not.

16 Q Okay. Are you familiar with the analysis that was
17 recently done by the City of Gainesville?

18 A No, sir.

19 Q Okay. In the, in the assumptions that were utilized
20 for cost-effectiveness screening of DSM, have, have you done --
21 did you do an analysis of input assumptions of variables that
22 looked at end-use profiles or end-use consumption?

23 A I don't know that I understand your question. My
24 analysis included various, a wide range of various end uses
25 across the three commercial, industrial and residential

1 customer classes. So in that sense, yes, I did.

2 Q Let me be a bit more specific. For each -- for
3 any -- each individual applicant or for any individual
4 applicant did you go look at their particular -- we heard from
5 FMPA that they collect, that their members collect load
6 information. Did you go to FMPA and review the load and
7 consumption information that came from their individual
8 members?

9 A No, sir.

10 Q Okay. JEA?

11 A No, sir.

12 Q And I won't go through all the others. I'm assuming
13 that would be the same answer for all the others?

14 A That's correct.

15 Q Okay. Did, did you -- just one moment. I'm sorry.
16 Did you, did you screen the, the measures that you looked at,
17 the 180 that you looked at, did you screen them for pertinence
18 and relevance? And let me, let me talk specifically in the, in
19 terms of whether or not they met existing building codes or, or
20 whether they passed existing local ordinances.

21 A Yes. An example would be a high efficiency
22 air-conditioning unit. I considered what the standard is now
23 and I considered what a more energy efficient rated
24 air-conditioning unit would be.

25 Q On -- you have your responses to NRDC's second set of

1 interrogatories before you?

2 A Yes, sir.

3 Q In Table 1, and I believe that's on Page, I'm looking
4 at Page 3, and I'm specifically looking in the residential
5 existing section.

6 A Yes.

7 Q And, and I guess this is the eleventh or twelfth line
8 into that section, there are some lines there for ceiling
9 insulation.

10 A Yes, sir.

11 Q Are you aware of whether or not those, those
12 particular measures prescribed are passing building code?

13 A I'm not certain what the building code for insulation
14 is, but the intent of those measures is to consider an existing
15 residential structure that in the first case maybe doesn't have
16 any insulation and would upgrade to R-19, and the second case
17 looks at a building that has R-19 and would upgrade to R-30.

18 Q I see. And, and so if, if -- and let's compare it,
19 do kind of a comparison. Whereas Tallahassee would go and look
20 at, as we understand Mr. Brinkworth's testimony, they would go
21 and look at their actual customer's existing status and then
22 make a determination as to what DSM measure would be actually
23 used by that customer, bring them up to code, and then look at
24 how that would affect their load and their consumption. Here
25 you simply look at a base case of whether or not they did not

1 have and put in 19 and then if they had put it from 19 up to
2 30. Is that a fair analysis, fair comparison?

3 A That's what I did. Yes.

4 Q Okay. Okay. Mr. May in his testimony indicated that
5 there, there are a fair number of large customers that are
6 served by members of FMPA, and in the analysis, in their
7 assessment of DSM they generally rely on audits done by energy
8 services companies. Did you have the benefit of data from
9 these companies in your analysis?

10 A Not directly from any energy services companies. No.

11 Q Okay. Did, did you look outside of -- and I heard
12 your testimony regarding using Florida Power & Light's analyses
13 as a benchmark. Did you look outside of that particular
14 analysis for any other, for any other benchmarks as to what,
15 what would be a reasonable goal for results?

16 A No. My analysis didn't consider what would be a
17 reasonable goal per se. My analysis evaluated the 180 DSM
18 measures that have been presented.

19 Q And do you know -- well, let me ask you this
20 question. I believe you indicated that in terms of the
21 technologies, underlying technologies for your 180, that you
22 looked at the latest technology that will apply for each one of
23 those 180. Was that your testimony?

24 A Yes, sir.

25 Q And how -- as of what date? As of when?

1 A I don't remember the specific date, but the
2 technology doesn't change on a daily basis. It was reviewed
3 prior to conducting the DSM analysis for this need for power
4 application.

5 Q Okay. Now in, in the contrast between what the FIRE
6 model provides in terms of, of a metric, if you will, and what,
7 what the Tallahassee analysis provided in terms, in terms of
8 results, I believe you spoke about this earlier, you indicated
9 that Tallahassee looked at duty periods and, and you do not.

10 Isn't the only difference there is whether or not a
11 particular measure covers that duty period that they looked at
12 in terms of -- that's -- I'm sorry. Let me ask that first
13 question. Isn't the only issue whether or not a measure covers
14 a duty period?

15 A The only difference pertaining to what?

16 Q Between your analysis and the FIRE, and the FIRE
17 model and what the City of Tallahassee did.

18 A No, that's not the only difference.

19 Q Let me ask the question this way. In terms of
20 understanding the cost-effectiveness of a DSM model, okay, the
21 idea that Tallahassee looks at duty periods is not a -- strike
22 that.

23 Let me ask -- I want to ask the other, the back side
24 of that question. The fact that FIRE looks at measures outside
25 of their duty periods is not a true determinant of its

1 cost-effectiveness; is that true?

2 A Well, the FIRE model doesn't look at duty measures or
3 measures outside of their duty cycle. What the FIRE model does
4 is -- part of the inputs which I explained earlier, the
5 kilowatt reduction and the kilowatt hour reduction, between
6 those two that's essentially representative of, call it an
7 equivalent loading factor of the DSM measure. If you're
8 talking about a supply-side option, it would have a capacity
9 factor.

10 So the FIRE model takes into account the capacity
11 reduction and energy reduction associated with the DSM measure
12 and compares that to the impact on system costs of having the
13 avoided unit, in this case Taylor Energy Center, in as a
14 generating resource versus not having the unit in as a
15 resource. So because you're considering both the savings at
16 peak and annual generation savings, it's implicit that it does
17 consider the duty cycle.

18 Q Let me be sure then. So you're saying that the FIRE
19 model will consider savings at peak?

20 A The FIRE model considers both savings at peak and
21 annual energy reductions as appropriate. Again, if it's a
22 direct load control measure, there may not be any energy
23 savings. It would just be peak savings.

24 Q Okay.

25 A If it's a different measure, it will consider both.

1 Q That, that -- explain to me a little bit more about
2 that last statement, whether it's direct control measures.

3 A Direct load control measure is designed to control
4 the customer's load through various methods by shutting down
5 maybe their air-conditioning unit at the time of peak. So it's
6 an instantaneous type reduction compared to an annual
7 reduction.

8 Q And that would be the limit of what you looked at,
9 and FIRE would be those kinds of measures?

10 A No, sir. That is one type of measure I looked at in
11 the FIRE model. The other measures include, and I'll be happy
12 to go through the list of them with you right now.

13 Q No. No. No. No. No. No. Let me be more precise.

14 In terms of dealing with a timing issue, okay, we
15 were talking about how FIRE compared in terms of looking at
16 duty, not looking at duty cycles compared with the City of
17 Tallahassee's process, and my understanding from your testimony
18 is that your, your process to look at timing and in our
19 discussion looking at peaking, savings from peak was this idea
20 of direct load control; is that correct?

21 A No. I just used that as a point of illustration.

22 Q Then that was -- so there are other ways that you
23 look at direct load control outside of those kinds of programs
24 in your DSM modeling.

25 A I only looked at direct load control using the FIRE

1 model.

2 Q Okay. And you indicated that you have industrial
3 measures in a GSLD; those are your industrial targeted.

4 A Yes, sir.

5 Q And you, again, did you inquire or look at the actual
6 end uses amongst the applicants of industrial?

7 A No. Due to the variety of measures that were
8 evaluated, it's a representative range of end uses.

9 Q Okay. Now in -- so then the bottom line conclusion
10 is, is from FIRE you looked at the 180 and you came up with
11 none that passed your test, that were cost-effective, let me
12 put it that way, and that's the essence of your conclusion
13 that, that as the statute requires that there are no measures
14 that can mitigate the need of any applicant to this, to this,
15 to this petition?

16 MR. PERKO: I'd just object to the extent that that
17 mischaracterizes the statutory test.

18 CHAIRMAN EDGAR: Mr. Jacobs, I'm, I'm going to ask
19 you to ask clearer questions.

20 MR. JACOBS: Thank you.

21 BY MR. JACOBS:

22 Q Are you aware -- what is your interpretation of
23 what's required in doing the DSM analysis for purposes of a
24 need determination?

25 A Evaluate reasonably available DSM measures which may

1 cost-effectively mitigate the need for the proposed unit.

2 Q And, and your FIRE analysis is, is, is that, is
3 intended to fill that need in this particular petition.

4 A Yes, sir. And use of the model would be consistent
5 with previous Commission findings that it is an appropriate
6 tool, an appropriate model to analyze the cost-effectiveness of
7 DSM measures.

8 MR. JACOBS: And just, just one minute, Madam Chair.
9 I think I may be done. One, one quick moment.

10 That's all I have.

11 (Transcript continues in sequence with Volume 11.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
2 COUNTY OF LEON)

CERTIFICATE OF REPORTER

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, LINDA BOLES, CRR, RPR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 19th day of January, 2007.

Linda Boles
LINDA BOLES, CRR, RPR
FPSC Official Commission Reporter
(850) 413-6734