


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 070098-EI

In the Matter of:

PETITION FOR DETERMINATION OF NEED
FOR GLADES POWER PARK UNITS 1 AND 2
ELECTRICAL POWER PLANTS IN GLADES
COUNTY, BY FLORIDA POWER & LIGHT
COMPANY.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 7

Pages 862 through 1085

PROCEEDINGS: HEARING
BEFORE: CHAIRMAN LISA POLAK EDGAR
COMMISSIONER MATTHEW M. CARTER, II
COMMISSIONER KATRINA J. McMURRIAN
DATE: Wednesday, April 25, 2007
TIME: Commenced at 9:30 a.m.
Recessed at 6:10 p.m.
PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida
REPORTED BY: MARY ALLEN NEEL, RPR, FPR
APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

03557 APR 26 5

I N D E X

WITNESSES

1	NAME	PAGE
2		
3		
4	DAVID N. HICKS	
5	Cross-Examination by Ms. Fleming	870
6	Redirect Examination by Mr. Anderson	878
7	Recross-Examination by Mr. Guest	893
8	STEPHEN D. JENKINS	
9	Direct Examination by Mr. Anderson	909
10	Prefiled Direct Testimony Inserted	911
11	Cross-Examination by Mr. Beck	947
12	Cross-Examination by Mr. Guest	954
13	Cross-Examination by Mr. Krasowski	1007
14	WILLIAM L. YEAGER	
15	Prefiled Testimony Inserted	1018
16	Prefiled Rebuttal Testimony Inserted	1039
17	KENNARD F. KOSKY	
18	Direct Examination by Mr. Anderson	1042
19	Prefiled Direct Testimony Inserted	1045
20	Cross-Examination by Mr. Beck	1069
21	Cross-Examination by Mr. Guest	1072
22	Cross-Examination by Mr. Krasowski	1076
23		
24	CERTIFICATE OF REPORTER	1085
25		

EXHIBITS

NUMBER	ID.	ADMTD.
25 through 38		896
39 through 45		1082
61 WLY-1	1017	1017
62 WLY-2	1017	1017
166 through 175		897
176 Clean Coal Today, Issue No. 64	878	899
177 Clean Coal Technology Selection Study	880	899
178 Comparative Dollars per kW for Operating IGCC Facilities	888	899
179 Photo, Polk Power Station	975	1015
180 Status of Commercial IGCC	983	1015
181 Environmental Permitting for IGCC Power Plant Slides	1001	1015

P R O C E E D I N G S

(Transcript follows in sequence from
Volume 6.)

CHAIRMAN EDGAR: We will go back on the record and get started again after the lunch break. First of all, I apologize for my tardiness and being a little longer than I had said. It's just another one of those days where we've got a lot going on.

I believe that right when we took lunch break, we were going to have questions from Commissioners and questions from staff. So to our witness, thank you. Commissioner McMurrian.

Thereupon,

DAVID N. HICKS

continues his sworn testimony from Volume 6 as follows:

COMMISSIONER McMURRIAN: Thank you, Chairman.

Mr. Hicks, I guess this question came to mind when we were looking at Exhibit 175, that was marked as 175, and it was the cost of electricity comparison. And I just wanted to ask, does it cost more to add carbon capture -- I guess generally, does it cost more to add carbon capture to pulverized coal plants than it does to add carbon capture to IGCC plants?

THE WITNESS: I would say in the time frame that we would be looking at carbon capture as an option

1 to meet climate change requirements, it would be more
2 expensive to add to IGCC rather than to PC. PC, you can
3 -- you leave a space in the design, and then you can
4 just add that equipment to it. IGCC is different in the
5 sense that a number of pieces of equipment have to be
6 either reengineered or replaced. So in the time frame,
7 in the relevant time frame, my contention would be that
8 IGCC is more expensive to add carbon capture equipment
9 to.

10 COMMISSIONER McMURRIAN: Okay. That clears
11 that up, because I think at some point you were talking
12 about how costs converge over time, and I wasn't really
13 clear what you meant there. Are you saying that with
14 technology improvements and things like that, that over
15 time the costs may not differ as much or --

16 THE WITNESS: Yes. With all the emphasis now
17 on R&D for new carbon capture equipment, the general
18 consensus is that the cost of carbon capture for both
19 technologies are going to get lower and converge with
20 each other.

21 COMMISSIONER McMURRIAN: Okay. Thank you.
22 And then the other questions I had were actually just to
23 help me understand some of the terms on some of the
24 items marked -- I believe it was 166 through 168, and
25 there were several different charts regarding efficiency

1 and heat rate and such. I guess specifically looking at
2 Number 168, which was the Black & Veatch exhibit -- do
3 you have that?

4 THE WITNESS: Uh-huh.

5 COMMISSIONER McMURRIAN: Just so that I can
6 understand better how to compare these percentages to
7 the percentage efficiency that you've given us, which I
8 believe was 38.8 percent --

9 THE WITNESS: Average degraded 38.8, yes.
10 That's over the life of the plant.

11 COMMISSIONER TEW: With respect to the column
12 that says "Net Plant Efficiency," can you tell me what
13 that term means and how that compares to the efficiency
14 that you've put forward?

15 THE WITNESS: Yes. During the lunch break, I
16 reviewed this document. And I actually attended this
17 conference where Mr. Ott presented this document. This
18 was in fact the last time I talked to Mr. Ott. This was
19 a CSX coal forum that was held in Welaka, which is a
20 resort they have in Palatka. And what he's referring to
21 here in terms of net plant efficiencies is general
22 efficiencies looking at what they call ISO conditions,
23 which is like 59 degrees Fahrenheit, new and clean type
24 of conditions versus the conditions that I represented
25 when I talked about the FPL Glades Power Park plant.

1 The other thing I would note is, what Mr. Ott
2 was trying to present with this document is not Black &
3 Veatch's current view of what subcritical,
4 supercritical, and ultra-supercritical conditions would
5 be, but what their view of the world, of the state of
6 the industry would be towards the latter part of the
7 next decade, given that certain advances in metals were
8 achieved. There have been some setbacks in terms of
9 those metal advances, but this really represents their
10 view of the world towards the latter part of the -- or
11 the second half of the next decade.

12 What they actually view as ultra-supercritical
13 in the current time frame and during the time that the
14 FPL Glades Power Park will come online is actually in
15 the Clean Coal Technology Study, which they assisted us
16 on. There's a table in there in which they discuss --
17 it's Table 3-1, where they discuss notable worldwide
18 ultra-supercritical plants. The ultra-supercritical
19 plants that are in there are consistent with what we're
20 proposing at FPL Glades Power Park.

21 COMMISSIONER McMURRIAN: So is there a table
22 within the Clean Coal Technology -- and that's attached
23 to your testimony, isn't it?

24 THE WITNESS: Yes. There's a table inside the
25 Clean Coal Technology Study that actually has steam

1 temperatures, pressures, and reheat temperatures
2 consistent with what Black & Veatch's view of
3 ultra-supercritical technology is in the state of the
4 art now and in the foreseeable future.

5 COMMISSIONER McMURRIAN: Can you tell me where
6 that is in the --

7 THE WITNESS: It's page 3-1.

8 MR. ANDERSON: Commissioner, we're having a
9 copy of that walked around to everybody.

10 COMMISSIONER McMURRIAN: Okay. Thank you.
11 I'll look at that later.

12 I wanted to ask some other questions about
13 some of the terms in several of these documents. The
14 PSIG term, can you tell me what that means?

15 THE WITNESS: That's pounds per square inch.
16 And I don't recall what the G means, but it's a measure
17 in terms of pounds per square inch.

18 COMMISSIONER McMURRIAN: And those terms
19 should mean the same thing throughout different
20 documents, as far as your understanding would be?

21 THE WITNESS: Yes. As far as my
22 understanding, yes.

23 COMMISSIONER McMURRIAN: And then with the
24 Black & Veatch document, that far right column where it
25 says "Net Plant Heat Rate, HHV," can you --

1 THE WITNESS: That's higher heating value.

2 COMMISSIONER McMURRIAN: Excuse me?

3 THE WITNESS: That's higher -- what they call
4 higher heating value.

5 COMMISSIONER McMURRIAN: And do those terms --
6 whenever HHV is referenced on other documents, do those
7 mean typically the same thing?

8 THE WITNESS: Yes, it does.

9 COMMISSIONER McMURRIAN: Okay. Chairman, I
10 believe that was all. Thank you for pointing me to the
11 other documents.

12 THE WITNESS: Thank you.

13 CHAIRMAN EDGAR: Questions from staff?

14 MS. FLEMING: Thank you, Chairman.

15 CROSS-EXAMINATION

16 BY MS. FLEMING:

17 Q. Good afternoon, Mr. Hicks.

18 A. Good afternoon.

19 Q. Just a few questions. Does the Glades Power
20 Park meet the requirements to be considered clean coal
21 technology under the Energy Policy Act of 2005?

22 A. Yes, it does. And we will be applying for
23 clean coal tax credits this year. The application
24 deadline is June 30th.

25 As a point of reference, the Duke Cliffside

1 plant, which is a pulverized coal plant, was awarded
2 clean coal tax credits last year. The Duke Cliffside
3 plant is not as advanced technology as FPL Glades Power
4 Park, nor does it include the same emissions control
5 equipment that the Glades Power Park does. And that --

6 Q. Has FPL -- excuse me.

7 A. And that project was awarded tax credits by
8 the DOE last year.

9 Q. Has FPL formally met with the Department of
10 Energy regarding their eligibility for the Glades Power
11 Park?

12 A. We have not formally met with them yet. We've
13 had a number of informal telephone discussions. Our
14 analysis, though, shows that this plant will meet the
15 requirements, and we will be scheduling a meeting with
16 them in advance of our application submittal.

17 Q. But at this time, FPL does not know if the
18 coal plant will actually qualify for tax credit;
19 correct?

20 A. We do not have a final determination at this
21 time.

22 Q. And even if FPL files for tax credit, it's not
23 guaranteed that it will be approved; correct?

24 A. That is correct.

25 Q. Did FPL include the value of these potential

1 tax credits in the estimate of cost of the Glades Power
2 Plant?

3 **A.** No, we didn't, because we don't have those tax
4 credits in hand.

5 **Q.** If FPL does qualify for and obtain these tax
6 credits, would these tax credits or funding be used to
7 reduce the final cost of the coal project for the
8 benefit of the customers?

9 **A.** Yes, they would.

10 **Q.** Okay. Mr. Hicks, I would like you to turn to
11 what's marked as staff Exhibits 155 and 156. They're
12 the yellow and blue packets in front of you, and I've
13 actually tabbed with a yellow sticky tab the relevant
14 pages that I need you to look at.

15 Specifically in Exhibit 156, it's pages 12 and
16 21, or for ease of reference, that information is just
17 consolidated on one page on page 3 of Exhibit 155, which
18 may be easier to look at so you have your side by side
19 comparisons.

20 **A.** Yes. I have them in front of me.

21 **Q.** Okay. Specifically, I'm going to be looking
22 at the emission rates and just talk about the comparison
23 of emission rates between the ultra-supercritical power
24 plant and IGCC. Looking at the exhibit, on page 3 of
25 Exhibit 155, which is the yellow cover --

1 **A.** I'm looking at that.

2 **Q.** The CO₂ emissions rates seem to be the same
3 for a coal plant and an IGCC; correct?

4 **A.** For the purposes of the modeling, we used the
5 same emissions rates in pounds per MMBtu. But because
6 the IGCC plant has a higher heat rate, it uses more
7 MMBtus of fuel to produce electricity. The overall
8 emissions rate on a pounds per megawatt-hour basis for
9 the IGCC plant will be higher, but the rate in terms of
10 pounds per MMBtu of fuel is the same.

11 **Q.** And as far as -- let me have you look up at
12 SO₂. The emissions rates are identical for the coal
13 plant as well as an IGCC; correct?

14 **A.** In this diagram, yes, they are; correct.
15 That's correct.

16 **Q.** Can you explain why that is?

17 **A.** The SO₂ rates -- I would have to -- actually,
18 I have to defer to Mr. Sim, but my assumption would be
19 the SO₂ rate, what it reflects is a 80/20 mix for the
20 pulverized coal plant, 80 percent coal, 20 percent
21 petroleum coke, and a 50-50 mix between petroleum coke
22 and coal for the IGCC plant. The higher the petroleum
23 coke, the higher the emissions rate for SO₂ for all
24 technologies.

25 **Q.** Now, as for the mercury emission rate, looking

1 at this chart, it appears that the mercury emissions
2 rate are higher for an IGCC than a coal plant; correct?

3 **A.** For this diagram, yes. We used the requested
4 mercury emissions rate for the AEP 600-megawatt IGCC
5 plants located in Ohio and West Virginia as the proxy
6 for the mercury emissions rate for the IGCC plant.

7 **Q.** But typically, wouldn't a coal plant have a
8 higher mercury emissions rate than an IGCC?

9 **A.** No, particularly when you look at the FPL
10 Glades Power Park, because the FPL Glades Power Park
11 includes four emissions control technologies, the SCR,
12 the baghouse, the wet flue gas desulfurization, and the
13 wet ESP. Those are not specific -- each one of those is
14 not specifically designed to reduce mercury, but they
15 have co-benefits, in that they reduce mercury. Our
16 anticipation is that those four devices will lead to
17 about a 90 percent removal rate, which is state of the
18 art, given the sensitivity of measurement devices.

19 But because FPL was committed to going above
20 and beyond in terms of mercury emissions rate, we've
21 also included activated carbon injection. With
22 activated carbon injection, we anticipate mercury
23 removal rates as high as 94-1/2 to 95 percent, which
24 exceeds that for IGCC.

25 **Q.** And what is typically the mercury removal rate

1 for IGCC?

2 **A.** For most technologies -- well, there's not a
3 typical number. As you can see, with the AEP, they
4 asked for a mercury removal rate or mercury emissions
5 rate double. The Orlando Utilities plant has a mercury
6 emissions rate slightly higher than FGPP. Other
7 facilities have mercury removal rates at or slightly
8 below. Once again, it's driven in part by fuel type,
9 the type of fuel used.

10 **Q.** In addition to just looking at the emission
11 rate, is it also important to look at the total amount
12 of pollution that's emitted from a power plant on an
13 annual basis?

14 **A.** I'm going to defer that question to Mr. Kosky,
15 because he's our expert on emissions control, and he can
16 provide you a much more detailed answer on that
17 question.

18 **Q.** And earlier you discussed the extent to which
19 the Glades plant is designed to be capture-ready. Do
20 you recall that?

21 **A.** Yes, I do.

22 **Q.** Has there been any analysis done to date which
23 addresses the sequestration of carbon that could be
24 accomplished at the FGPP site?

25 **A.** There has been no formal analysis to date, but

1 I would note that that entire area has deep saline
2 aquifer geology, which is consistent with one of the
3 primary opportunities for carbon capture and
4 sequestration, or for carbon sequestration.

5 Q. For any combustion technology that's out
6 there, what is currently available to sequester CO₂ once
7 it's captured?

8 A. A process called MEA is one process that's
9 available. But given the current state of R&D,
10 expectations are that by well in advance of this plant,
11 MEA will be obsolete, and something akin to the chilled
12 ammonia or another type of process will emerge as the
13 most cost-effective process in terms of carbon capture.

14 Once again, I would -- earlier I discussed
15 this concept of the horse and cart concept between
16 carbon capture and sequestration. The horse in this
17 instance is carbon sequestration, so it's going to take
18 longer to really resolve the sequestration issues than
19 it is the carbon issues for all technologies across the
20 United States. So by the time sequestration becomes a
21 reality, you'll have commercial carbon capture systems
22 at a much lower cost and much more efficient than what
23 you see today.

24 Q. And if you know, has FPL considered
25 constructing or participating in a joint ownership of an

1 IGCC unit to determine whether this technology may be
2 used in a future application for its system?

3 **A.** We are currently -- I'm also project manager
4 for an IGCC refueling study at our Martin site that
5 would involve refueling of one of the gas-fired combined
6 cycles to produce -- rather than oil and natural gas, to
7 burn syngas and natural gas. And we've been in that
8 process with a joint venture partner, which is a major
9 vendor of IGCC equipment, since about last August. I
10 can report that the results to date are not promising,
11 both in terms of cost and in terms of emissions. We
12 still hold hope that that may pan out, but right now the
13 numbers just don't look very good.

14 In addition to that, we've had a lot of
15 discussions with the vendor with regard to carbon
16 capture, and we've gained a lot of knowledge through the
17 process. That's where we gained the understanding that
18 in terms of IGCC, the vendors are really about in the
19 same place they are -- with regard to carbon capture as
20 they are with PC. They're just leaving a space in the
21 design for the carbon capture.

22 MS. FLEMING: Thank you. We have no further
23 questions.

24 CHAIRMAN EDGAR: Redirect?

25 MR. ANDERSON: Yes, please. Chairman Edgar, I

1 believe this would be Exhibit 175.

2 CHAIRMAN EDGAR: I am on 176.

3 MR. ANDERSON: 176. I'm sorry. Thank you.

4 CHAIRMAN EDGAR: That's okay.

5 (Exhibit 176 marked for identification.)

6 REDIRECT EXAMINATION

7 BY MR. ANDERSON:

8 Q. Mr. Hicks, you were asked some questions
9 earlier today about the definition used by FPL for
10 ultra-supercritical pulverized coal technology. You
11 have before you Exhibit 176. Could you tell us what
12 this is and how it relates to the definition?

13 A. It's a document entitled "Clean Coal
14 Technology." It's put out by the United States
15 Department of Energy. And on page 2 of the two pages in
16 the document, it provides the DOE definition of
17 ultra-supercritical. Under the heading "Materials
18 Development for Ultra-supercritical Boilers," it states,
19 quote, "As part of its effort to develop cleaner, more
20 efficient power generating systems to meet future energy
21 needs, the United States Department of Energy, DOE,
22 Office of Fossil Energy is collaborating on important
23 work to develop high-temperature, corrosion-resistant
24 alloys for use in ultra-supercritical steam cycles.
25 Steam cycles with operating pressures exceeding 3,600

1 pounds per square inch and main superheat steam
2 temperatures approaching 1,100 degrees Fahrenheit are
3 considered ultra-supercritical," end quote.

4 Q. Is this the definition that FPL has used and
5 referred to in its clean coal study?

6 A. Yes, it is.

7 Q. Do you have before you Exhibit 168, which was
8 Mr. Ott's presentation you were asked about earlier?

9 A. Yes, I do.

10 Q. If you would please flip through to the third
11 page of what we have here, first, looking at the page
12 numbers, does this look like the entire presentation
13 that you saw when you attended this?

14 A. No, it's not. It's selected slides from that
15 presentation.

16 Q. Okay. But just as to the slides we do have
17 here, look at page 3 titled "Thermal Generation
18 Technology Spectrum." Do you see that?

19 A. Yes, I do.

20 Q. You were asked some questions this morning
21 directed at the bottom of this page about advanced
22 supercritical and ultra-supercritical and about
23 temperatures and pressures, you know, inferring that
24 perhaps FPL's ultra-supercritical project is not that.
25 Would you comment on what this document is and what it

1 actually shows?

2 **A.** This document is -- Mr. Ott in presenting this
3 overall presentation was trying to give a viewpoint of
4 the current state and future state of PC technology.
5 And the purpose of this slide was to demonstrate that
6 even PC technology is an evolving technology. And what
7 this represents is not the current view of the
8 definitions of supercritical, subcritical, and
9 ultra-supercritical, or the view in the time frame that
10 FGPP would be constructed, but an advanced view based
11 upon significant improvements in exotic metals or metals
12 that are used in the combustion process. So those
13 metals, particularly with regard to what's defined here
14 as advanced supercritical and ultra-supercritical, those
15 metals are not available. They are not commercial.
16 They are not available, and so those plants cannot be
17 built and are not on the drawing board for any entities
18 to be built.

19 **Q.** So that's just sort of a future view then?

20 **A.** It is a future view; that's correct.

21 **Q.** Okay.

22 **A.** It does not represent the current view.

23 (Exhibit 177 marked for identification.)

24 BY MR. ANDERSON:

25 **Q.** We've previously walked around to everyone in

1 the room a document which I think would now be 177.
2 This is the document called "Clean Coal Technology
3 Selection Study, Final Report, January 2007," a
4 three-page document. The second pages have 3-1 and 3-2
5 at the bottom. Mr. Hicks, do you have a copy of 177?

6 **A.** Yes, I do.

7 **Q.** Tell us what this document shows in relation
8 to Black & Veatch's and FPL's expression of what
9 ultra-supercritical pulverized coal technology means in
10 the current environment?

11 **A.** If you look on the top cover, it shows both
12 the Black & Veatch logo and the FPL logo, which
13 represents the joint view of both Black & Veatch and
14 FPL. This table was put together by Black & Veatch and
15 represents their view of notable worldwide
16 ultra-supercritical plants.

17 **Q.** Are there any plants on here that compare
18 roughly in terms of temperatures and pressures, for
19 example, to the FGPP plant that FPL is proposing to
20 build?

21 **A.** Yes. If you look at the bottom of page 3-1,
22 Hitachi Naka, which is a 1,000-megawatt unit, very
23 similar in size, it has a steam pressure of 3,675 and
24 main steam and reheat temperatures of 1,112 degrees
25 Fahrenheit, very close to the FPL plant, which is 3,700,

1 1,112, and 1,130.

2 On the next page, the Hranomachi plant, 3,675,
3 1,112, 1,112, and the Tachibanawan, which is 3,750,
4 1,121, and 1,135, all those are within very close
5 proximity to the FPL proposed plant.

6 Q. So those are all actual ultra-supercritical
7 projects?

8 A. They are actual operating ultra-supercritical
9 projects, yes.

10 Q. They're not proposed?

11 A. They're not proposed.

12 Q. They're in commercial operation?

13 A. They are in commercial operation, yes.

14 Q. Looking, please, at what Mr. Guest labeled as
15 Exhibit 166, NETL Materials Research Program, do you
16 have that?

17 A. Yes, I do.

18 Q. Could you page through that for me -- it does
19 not have page numbers on it, but counting the cover as
20 page 1, 2, 3, 4, 5, 6, 7, Pulverized Coal Efficiency,
21 this is a slide that Mr. Guest showed you; is that
22 right?

23 A. Yes.

24 Q. Would you please comment whether this
25 correctly shows the current industry understanding of

1 subcritical, supercritical, and ultra-supercritical?

2 **A.** No, it doesn't. It represents -- once again,
3 the same as the Black & Veatch, it represents a view of
4 the future of these technologies. And particularly the
5 higher temperatures and pressures are dependent upon
6 significant advances in materials and metals that have
7 not been realized to date and have actually been pushed
8 back somewhat. If you look, I believe it's one, two,
9 three further pages into it, it actually has a time line
10 for those ultra-supercritical materials, and it doesn't
11 really show those materials becoming commercial until
12 around the year 2015.

13 One should note this is a 2003 presentation,
14 and since this presentation has come out, the
15 advancement in these very exotic metals and materials
16 has been slowed somewhat. In fact, it's delayed several
17 plants in Europe to the second half of the next decade
18 because of the delays in those materials.

19 **Q.** So this is another future view?

20 **A.** It's another future view.

21 **Q.** And the future is coming a little slower than
22 we had expected?

23 **A.** The future is coming a little slower than once
24 expected, yes.

25 **Q.** Looking at what was marked as Exhibit 167,

1 "Final Report, Environmental Footprints," et cetera --
2 do you have that in front of you?

3 **A.** Yes.

4 **Q.** There's a page 1-1. Design Basis, the first
5 paragraph talks about the modeled plants include, and
6 then counsel referred you to various supercritical steam
7 definitions of things. Does this set of definitions
8 represent the current industry understanding of
9 ultra-supercritical?

10 **A.** No, it does not. Once again, particularly the
11 steam pressures are significantly higher than the
12 current view of what ultra-supercritical is. This is
13 just -- it appears to be just a modeling exercise more
14 than a representation of the current state of the art of
15 ultra-supercritical technology, particularly with regard
16 to steam pressures.

17 **Q.** This is by the EPA?

18 **A.** Yes, it is.

19 **Q.** They're not in the business of actually
20 building plants; right?

21 **A.** No, they're not.

22 **Q.** Okay. Please look at document 175, which is
23 the cost of electricity comparison which was submitted
24 by Richard Furman, RCF-7, and you were asked some
25 questions about it. Do you have that?

1 **A.** Yes, I do.

2 **Q.** Were you present at Mr. Furman's deposition
3 when he talked about this exhibit?

4 **A.** Yes, I was.

5 **Q.** Could you tell us about the relevance and
6 sources of the information and whether it's the kind of
7 thing that a commission or company would rely on in
8 making a \$5.7 billion decision?

9 **A.** The sources of this document -- the sources of
10 these numbers are not consistent with the construction
11 of power plants in South Florida. These represent
12 representative Midwest plants, smaller sizes, and the
13 basis for these numbers is also in question.

14 **Q.** Do they include FGPP's capital costs?

15 **A.** No, they do not.

16 **Q.** FGPP's O&M expense?

17 **A.** No, they do not.

18 **Q.** Non-fuel costs?

19 **A.** No, they do not.

20 **Q.** Florida Power & Light company's projected fuel
21 costs?

22 **A.** No, they do not.

23 **Q.** Or consideration of CO₂ sensitivities?

24 **A.** No, they do not.

25 **Q.** None of those things are on RCF-7?

1 **A.** None of those things.

2 **Q.** And you were asked some questions about the
3 cost and status of CO₂ capture technology in reference
4 to this?

5 **A.** Yes.

6 **Q.** Would you please comment on the date of this
7 presentation in reference to the development of
8 information concerning CO₂ capture?

9 **A.** The date of this is preliminary results,
10 September 2006. Just in the intervening time between
11 September 2006 and today, there has been significant
12 advancements in CO₂ capture.

13 **Q.** Mr. Krasowski asked you about why you selected
14 Glades County for construction of FGPP. Are there
15 reasons you would construct a coal plant in Glades
16 County, but not a gas-fired combined cycled plant?

17 **A.** Yes. The Glades County site is a coal-fired
18 power plant site. It has characteristics that are
19 consistent with a coal plant site. One characteristic
20 is, unlike a gas plant, the rule of thumb for a coal
21 plant is one and a half acres per each megawatt of
22 generation. So given this is a roughly 2,000-megawatt
23 facilities, we were looking for 3,000 acres or more,
24 mainly because of the loop track for the rail line, the
25 fuel storage, and the by-product handling.

1 Also, this site was advantaged from a coal
2 perspective because it has a rail line that abuts the
3 site, and that rail line connects to two major networks.
4 If we were to build a gas-fired power plant site, we
5 would not build it at this site. It is not advantaged
6 as far as a gas-fired power plant site is concerned. It
7 is advantaged as a coal plant site and does provide
8 significant economic benefits to the community.

9 **Q.** Please look briefly at Exhibits 172, 173, and
10 174, which were given to you by Mr. Guest to review.
11 One is "Operating IGCC Facilities," another is "Proposed
12 Projects, IGCC and Polygeneration in North America," and
13 then the third, "Proposed IGCC and Gasification Plants
14 Ex-North America." Do you have those?

15 **A.** Yes, I do.

16 **Q.** Would you please comment on whether those
17 documents and the information contained in them change
18 FPL's views concerning technology selection?

19 **A.** No, they don't, because all these projects,
20 including the corrected one from Nuon, all these
21 projects are relatively small projects. They don't move
22 the needle in terms of fuel diversity. To get fuel
23 diversity in FPL's system, we need the 2,000-megawatt
24 sizing. None of these plants meet that sizing.

25 In addition, I have seen this document 172

1 before and noticed the plant costs. And what I did is,
2 I corrected those plant costs for 2014 dollars to get an
3 idea of what those plant costs would look like in 2014
4 dollars, and each one of those plants is significantly
5 more expensive than the FPL Glades Power Park in 2014
6 dollars. And I would note that the Tampa Electric
7 plant, I corrected it for the actual costs of the plant
8 rather than the projected costs which are listed on that
9 line.

10 MR. ANDERSON: Okay. Then I'm going to pass
11 around document 17 -- what? I'm sorry. Eight?

12 CHAIRMAN EDGAR: I'm on 8, 178.

13 MR. ANDERSON: Thank you, Chairman.

14 CHAIRMAN EDGAR: Will you give us a title?

15 MR. ANDERSON: Yes, please. "Comparative
16 Dollars Per kW for Operating IGCC Facilities."

17 (Exhibit 178 marked for identification.)

18 BY MR. ANDERSON:

19 Q. Mr. Hicks, would you explain what this
20 document is and how it relates to documents 172 through
21 174? You were asked some questions earlier about
22 comparing dollars per kW for IGCC.

23 A. Yes. What I did is, I took on the last column
24 plant costs, and I escalated them using historical and
25 projected escalation rates for capital costs. Between

1 1994 and 2003, the blended escalation rate between labor
2 and materials ran roughly around 3 percent. The
3 industry, the construction industry as a whole, and the
4 power plant industry in particular, experienced
5 significant increases in escalation during 2004, 2005,
6 and 2006, and those are reflected in the next three
7 numbers. And then consensus in the industry is that --
8 and this is adopted by FPL, is that beyond 2007, beyond
9 2006, we're assuming a 4 percent escalation rate.

10 So the first column you see there is the
11 years, and the second column you see is historical and
12 projected acceleration rates for capital costs. The
13 columns you see is where I took each one of those
14 capital costs that's listed here, with the exception of
15 the Polk plant, which I put into the corrected numbers,
16 and then escalated them to 2014 dollars.

17 Q. So to just pick one of these numbers so we
18 just explain it, you --

19 A. Let's look at Nuon (Demkolec), which is the
20 first one.

21 Q. Right.

22 A. That has a plant cost in dollars per kW in
23 1994 of \$2,372. I took that 2,372 and escalated it to
24 2014 dollars and got \$8,521 per kW.

25 Q. So \$8,521 in 2014 dollars per kilowatt, how

1 does that compare to FGPP?

2 **A.** FGPP all in, which, by the way, in South
3 Florida includes substantial transmission upgrades, is
4 about \$2,900 per kW in 2014 dollars.

5 **Q.** Looking across the bottom row of Exhibit 178
6 for year 2014 dollars, how do all the dollars per kW
7 compare generally to FGPP?

8 **A.** All the dollars per kW generally are much
9 higher with the exception of one plant, which is the
10 Sarlux plant. And I would say, given the numbers for
11 all the other plants, that something is missing there.
12 That might be an inside, just an inside the fence number
13 or what you call an overnight capital cost number rather
14 than a fully loaded capital cost number.

15 **Q.** Okay. And what does this show overall if you
16 compare costs of existing IGCC --

17 **A.** It shows that -- you know, once again, it's
18 further evidence that the capital costs of IGCC plants
19 are significantly greater than those for
20 ultra-supercritical or pulverized coal plants in
21 general.

22 MR. ANDERSON: That's all we have. Thank you.

23 CHAIRMAN EDGAR: Then we need to take up
24 exhibits. Mr. Guest.

25 MR. GUEST: May I have an opportunity just to

1 have a very short recross?

2 CHAIRMAN EDGAR: Based upon what?

3 MR. GUEST: I think this -- I want to inquire
4 whether this exhibit was generated over lunchtime.

5 THE WITNESS: It was not.

6 MR. GUEST: Okay. That's one issue.

7 CHAIRMAN EDGAR: Was that the witness? Did
8 you respond?

9 THE WITNESS: Yes.

10 CHAIRMAN EDGAR: Generally you let me respond
11 to the --

12 THE WITNESS: Oh, I'm sorry. I apologize.

13 CHAIRMAN EDGAR: Thank you.

14 THE WITNESS: I apologize.

15 CHAIRMAN EDGAR: Although I do appreciate your
16 cooperation in trying to answer the questions, but
17 sometimes you have to let me think first.

18 THE WITNESS: Okay. I'm sorry.

19 CHAIRMAN EDGAR: That's all right. Mr. Guest,
20 did you have further --

21 MR. GUEST: I just have a handful of --

22 CHAIRMAN EDGAR: But again, based upon what?

23 MR. GUEST: Oh, based on the new testimony, of
24 course, nothing that I'm repeating. For example, let me
25 -- may I give you a illustration?

1 CHAIRMAN EDGAR: How about if I ask another
2 question and we go from there?

3 MR. GUEST: Yes.

4 CHAIRMAN EDGAR: Okay. Based upon information
5 that has come up in redirect or on previous cross?

6 MR. GUEST: I guess redirect. I guess that's
7 right. I'm trying to -- well, I don't have them
8 separated fully in my mind about which one it is. The
9 one I have in front of my, no doubt about it, it's
10 redirect.

11 CHAIRMAN EDGAR: Okay. Well, then let me turn
12 to our counsel. Mr. Harris.

13 MR. HARRIS: To the extent that he has
14 questions about the redirect, it would be within your
15 discretion to allow it. To the extent that he has
16 questions based on other cross-examination, I do not
17 believe that would be appropriate. I'm a little
18 concerned that counsel indicated he hasn't decided which
19 are based on redirect and which are based on recross, or
20 on cross.

21 MR. GUEST: Well, may I just go straight to
22 the issue, Madam Chairman? When I see cross-examination
23 which looks to me like it's rehabilitating the witness's
24 testimony, it doesn't feel like cross to me. And, for
25 example, what we got on some of the cross was --

1 CHAIRMAN EDGAR: Mr. Guest, quite frankly,
2 then you have the opportunity to object at the time that
3 the question is asked, and from this point forward,
4 let's try to do it that way. Generally I do not allow
5 recross. However, if there is something that has come
6 up in the redirect that you feel compelled to follow
7 through briefly, I will allow it.

8 MR. GUEST: Okay. Let me just ask one or two
9 then.

10 RE-CROSS-EXAMINATION

11 BY MR. GUEST:

12 Q. The document that was brought to you which was
13 marked -- which is "Clean Coal Today," 177, we hadn't
14 previously -- 176?

15 CHAIRMAN EDGAR: 176 is the way I have it
16 marked.

17 BY MR. GUEST:

18 Q. 175. That's actually a newsletter from DOE;
19 correct?

20 A. It says it's a newsletter about innovative
21 technologies for coal utilization, but it includes a
22 U.S. DOE definition in there.

23 Q. Right. And that's completely inconsistent
24 with the definition provided by the National Energy
25 Technology Laboratory?

1 **A.** No, I would not say it's inconsistent, if you
2 could point to me where it is.

3 **Q.** Well, it's inconsistent with Exhibit Number
4 168?

5 **A.** Is that the one titled "NETL's Materials
6 Research Program"?

7 **Q.** Yes.

8 **A.** No. As I indicated, these definitions are
9 consistent with the diagram about three pages later,
10 which indicate ultra-supercritical materials necessary
11 to support those type of steam conditions. Without
12 those exotic metals, you cannot achieve these type of
13 steam conditions, and today you can't design and build
14 with these type of steam conditions. Those exotic
15 metals are not available.

16 **Q.** So are you saying then that the definition of
17 what ultra-supercritical is changes with time and that
18 these documents are referring to a definition of
19 ultra-supercritical that doesn't even exist now and will
20 be a definition used at some future time? Is that it?

21 **A.** Pulverized coal technology is an evolving
22 technology, and as that technology evolves, the
23 characterizations of what are ultra-supercritical,
24 supercritical, and subcritical will change over time.
25 But the current definition of ultra-supercritical, not

1 only the DOE definition, but the consensus of the
2 industry, is that the plant that we are proposing is a
3 state-of-the-art ultra-supercritical plant and will
4 bring the highest efficiency coal plant ever proposed
5 for the United States when looked at in terms of proper
6 temperature, pressure, and climatic conditions.

7 Q. And lastly, just one question. Document
8 number -- you know, I should be more careful about
9 marking these things. 177. This is the table by Black
10 & Veatch. That was made as an exhibit for this case
11 after the petition was filed; isn't that correct?

12 A. This was included in my direct testimony, as
13 an appendix to my direct testimony. The Clean Coal
14 Technology Study was appended to my direct testimony in
15 this case.

16 Q. But it was made by Black & Veatch as an
17 exhibit for this proceeding; correct?

18 A. No. The original document was made as a part
19 of the Clean Coal Technology Study that Black & Veatch
20 did in conjunction with FPL. This document is DNH-2,
21 which is one of the exhibits to my direct testimony in
22 this case.

23 Q. Dated after the petition was filed?

24 A. I don't know what date the petition was filed,
25 so I can't answer that question. I can tell you this

1 was appended to my -- this is part of a document that
2 was appended to my direct testimony.

3 MR. GUEST: Thank you for your indulgence,
4 Madam Chairman.

5 CHAIRMAN EDGAR: Thank you. Mr. Anderson.

6 MR. ANDERSON: Nothing.

7 CHAIRMAN EDGAR: Okay. All right. Then let's
8 take up the exhibits. We have Exhibits 25 through 38.
9 Seeing no objections, we will enter 25 through 38 into
10 the record.

11 (Exhibits 25 through 38 admitted into the
12 record.)

13 MS. BRUBAKER: Madam Chairman, if a may, just
14 a point of clarification. We have currently identified
15 but not entered Exhibits 162 through 165 on a prior day
16 of hearing. That was during Mr. Schlissel's
17 cross-examination. I recommend we do not take those up
18 at this time, but wait until Mr. Schlissel has joined us
19 again. And that would bring us to Exhibits 166 through
20 175, which Sierra has put forward, and 176 through 178,
21 which FPL put forward on redirect.

22 CHAIRMAN EDGAR: Mr. Anderson, any objections
23 to the exhibits that Mr. Guest has put forward.

24 MR. ANDERSON: One caveat as to Exhibit 168,
25 which is the partial pages of the Ron Ott presentation.

1 We're happy to have that go in, but we've asked counsel
2 to give us a copy of the full presentation. We would
3 like to reserve the right to offer the balance of that
4 presentation if we feel it should go in, if that works
5 for people.

6 CHAIRMAN EDGAR: Mr. Guest.

7 MR. GUEST: That's the whole document rule
8 and, of course, we agree to that.

9 CHAIRMAN EDGAR: That is the whole document?

10 MR. GUEST: What I mean to say is, there's a
11 -- the whole document rule is that when someone puts in
12 one document, anybody can put the rest in, and
13 obviously, we play by those rules.

14 MR. ANDERSON: And because I asked counsel to
15 provide that to me, he has agreed to produce it, as I
16 understand, but I haven't seen it yet. If upon
17 examination we wish to offer the whole thing, that's the
18 only caveat. That's the only observation on any
19 exhibit. We have no objection to the balance.

20 CHAIRMAN EDGAR: Okay. Thank you for the
21 clarification. And so with that, we will enter exhibits
22 166 through 175.

23 (Exhibits 166 through 175 admitted into the
24 record.)

25 CHAIRMAN EDGAR: Mr. Guest, any objections to

1 the three exhibits that Mr. Anderson has put forward,
2 which I have as 176, 177, and 178?

3 MR. GUEST: May I have a moment?

4 CHAIRMAN EDGAR: You may.

5 MR. GUEST: Just as to 178. We are endlessly
6 puzzled by this, because -- by 178, because you may have
7 observed my previous argument about asking for judicial
8 recognition of the commutative property of
9 multiplication.

10 CHAIRMAN EDGAR: I recall that discussion.

11 MR. GUEST: And I think that this is sort of
12 the same thing, but it's a much larger set of
13 calculations. Maybe what we should do is spot check a
14 few of these and reserve an objection, or do you want me
15 to spot check them now? This is kind of a tricky
16 calculation, because it's a present value calculation,
17 where it's -- why don't we deal with that?

18 MR. ANDERSON: Our suggestion would be --
19 first of all, let me defer to the Chair as to how you
20 would like to proceed, but --

21 CHAIRMAN EDGAR: Well, actually, I was going
22 to ask for your comment.

23 MR. ANDERSON: Okay. My thought would be,
24 first, I'm confident that the figures are fine, but if
25 counsel wants to take a look at them, we'll happily

1 amend any specific figure. But our suggestion would be
2 admit it into the record, subject to our agreement to
3 make any changes indicated based upon any math error
4 that's found.

5 MR. GUEST: That works for me.

6 CHAIRMAN EDGAR: Does that work for you?

7 MR. GUEST: Yes.

8 CHAIRMAN EDGAR: Okay. Then again, we will
9 all work together to try to get the right result
10 comfortably. Okay. With that, then we will enter
11 Exhibits 176, 177, and 178.

12 (Exhibits 176, 177, and 178 admitted into the
13 record.)

14 CHAIRMAN EDGAR: And the witness is excused.
15 Although we will be seeing you back again; correct?

16 THE WITNESS: Yes, you will.

17 CHAIRMAN EDGAR: Okay. Thank you. And I'm
18 ready to move on if you are, so your witness.

19 MR. ANDERSON: We are. Thank you very much.
20 FPL would call as its next witness Mr. Steve Jenkins,
21 who I think the record will show has been sworn.

22 MR. GUEST: May I raise an administrative
23 matter, Madam Chairman?

24 CHAIRMAN EDGAR: You may.

25 MR. GUEST: It's beginning to look like

1 there's a possibility that we're running slower than we
2 thought we were.

3 CHAIRMAN EDGAR: It is beginning to look that
4 way, yes.

5 MR. GUEST: And we have witnesses that are
6 fixing to hop on airplanes from far away, and I think
7 that I've got to call one of them in the coming 30
8 minutes to say should he come or not. And I think it's
9 about time to try to get there on this issue.

10 MR. LITCHFIELD: Madam Chairman, Wade
11 Litchfield for FPL. I wonder if it might be appropriate
12 to take maybe a five-minute recess, because I think
13 there may be a discussion that we can have with counsel.

14 CHAIRMAN EDGAR: Sure. I had actually hoped
15 that maybe some of those discussions had been worked out
16 at lunch, but I did not ask. And I apologize for that.
17 I probably should have before we had the next witness.

18 MR. GUEST: We had substantial discussions at
19 lunch, and there was a proposal to put it off until now,
20 essentially. That's what happened.

21 CHAIRMAN EDGAR: Okay. Well, then let's take
22 a few minutes and see if we can --

23 MR. KRASOWSKI: Excuse me, Madam Chair.

24 CHAIRMAN EDGAR: -- work out some
25 efficiencies. Mr. Krasowski, yes.

1 MR. KRASOWSKI: Yes, ma'am. We have an
2 interest -- I have an interest as well in the sequence
3 of witnesses, so if we might be able to listen in to the
4 discussion.

5 CHAIRMAN EDGAR: Mr. Krasowski, I would
6 absolutely ask you to join our staff and the other
7 attorneys involved in the proceedings. Thank you.

8 (Short recess.)

9 CHAIRMAN EDGAR: Are we ready?

10 MR. GUEST: Yes.

11 CHAIRMAN EDGAR: Okay. Do we have --

12 MR. LITCHFIELD: Madam Chairman --

13 CHAIRMAN EDGAR: -- some agreement, some
14 compromise?

15 MR. GUEST: What happened is that we have been
16 unable to reach agreement, and I think we need some
17 assistance from the Chair in getting there.

18 What happened, as you recall, the last day
19 that we were here is that Mr. Schlissel was examined at
20 great length, and there were a few questions left, but
21 he had to go and catch his plane. And he went back up
22 to Cambridge, and he's waiting for a phone call about
23 whether to come back here for the five questions. He
24 was taken out of order and in the hope that --

25 CHAIRMAN EDGAR: In an effort to accommodate.

1 MR. GUEST: Indeed. Oh, indeed, he was, and
2 we appreciate that. And what we're trying to do is look
3 at the testimony of Mr. Sim, and having done that, make
4 a decision about whether we even need to bring him back,
5 whether we need to bring Dr. Schlissel back. There are
6 a number of rebuttal witnesses that don't deal with
7 anything related to him. Mr. Schlissel deals solely and
8 exclusively with the matter of carbon costs. It doesn't
9 relate to the testimony of Mr. Hicks, Mr. Jenkins,
10 Mr. Kosky, or Mr. Rose.

11 So what we would like to do is take them out
12 of order, in the hope that we will come up with a way to
13 not have to bring -- well, take -- if necessary -- I
14 think there's a question is it even necessary alone. If
15 we end up getting our case in chief done tomorrow,
16 which, at the rate we're going, may even not happen, to
17 hold open the option of just not calling David
18 Schlissel, and if there's still a little time left
19 tomorrow, going into rebuttal on issues that are
20 unrelated to him, and that might avoid him leaving home
21 in Cambridge at all. That's what we're seeking to try
22 to do.

23 MR. LITCHFIELD: Madam Chair, if I might
24 respond.

25 CHAIRMAN EDGAR: Mr. Litchfield.

1 MR. LITCHFIELD: If I'm looking at the order
2 of witnesses as it's laid out here, we've finished with
3 Mr. Hicks. We're taking Mr. Jenkins and Mr. Kosky,
4 which we expect we'll be able to do this afternoon. And
5 Mr. Sim, I'm told the questions for Mr. Sim on his
6 direct are very few.

7 There's also a possibility I think that we
8 should explore right now as to the possible stipulation
9 of Mr. Yeager, both as to his direct and rebuttal. My
10 understanding is that there are perhaps few, perhaps no
11 questions of any party for Mr. Yeager, subject, of
12 course, to the Commissioners' questions.

13 The next one, two, three, four, five witnesses
14 are either all stipulated or have already appeared, both
15 on direct and rebuttal, which takes us to very quickly,
16 I think, tomorrow into the three witnesses of the
17 intervenors, Mr. Furman, Plunkett, and Schlissel. Now,
18 we're amenable to taking up Mr. Schlissel first and
19 Mr. Plunkett second and Mr. Furman third, any order that
20 Mr. Guest would suggest in terms of his witnesses. But
21 I think it is a certainty that we will get to all three
22 of these witnesses tomorrow.

23 Now, as to whether Mr. Schlissel needs to come
24 back, we had offered previously, and in talking with
25 Mr. Guest here today, we've renewed the offer to simply

1 submit Mr. Schlissel's deposition into the record and
2 forgo any further questions and save him the trip. But
3 I would be reluctant to hold out essentially an option
4 to Mr. Guest to decide when and if Mr. Schlissel is
5 going to appear, to allow him again at his option to
6 place him toward the end of the witness order.

7 And I think it is incorrect to suggest that
8 the witnesses that we have on rebuttal have nothing to
9 do with Mr. Schlissel's testimony. In fact, Mr. Kosky,
10 Mr. Sim, Mr. Rose, and Mr. Silva all have to do with
11 Mr. Schlissel's testimony.

12 So my view is, Mr. Schlissel ought to -- if
13 he's going to testify, he ought to plan to be here
14 tomorrow, and we will make every accommodation to take
15 him out of order tomorrow, or if they don't need him to
16 come back, we'll put in the deposition, and he will not
17 have to make the trip.

18 CHAIRMAN EDGAR: Mr. Guest, that seems
19 reasonable to me. We offered the option at the close of
20 the last day, the prior day of the proceeding, to enter
21 the deposition or to have him return. If FPL has
22 renewed their willingness to go with either of those
23 options, I renew mine as well to go with either of
24 those.

25 For scheduling purposes, also, I think we can

1 go till 7:00, 7:30ish this evening. Tomorrow I have an
2 appointment, so that I cannot go beyond 4:00 tomorrow.
3 Therefore, we will not be going beyond 4:00 tomorrow.
4 Close out that thought. And I apologize for that. I've
5 moved as much as I can, and I know that everybody else
6 has as well.

7 So realizing that I think we can go a little
8 later than usual this evening, the possibility -- let's
9 take up the easy thing first. Witness Yeager, there has
10 been a suggestion that his direct and rebuttal could be
11 stipulated. So, Commissioners, I will ask you to
12 consider that and ask our staff, do we have questions --

13 MS. BRUBAKER: Staff has no questions.

14 CHAIRMAN EDGAR: So staff would be able to
15 stipulate. Commissioners? Mr. Krasowski?

16 MR. KRASOWSKI: No questions of Mr. Yeager.

17 CHAIRMAN EDGAR: No questions for Mr. Yeager.

18 MR. GUEST: There was a suggestion that -- or
19 a representation that we weren't going to ask any
20 questions, and I don't think that's accurate.

21 CHAIRMAN EDGAR: Actually, if that was the
22 representation, I missed it, and I was not representing
23 that.

24 MR. LITCHFIELD: I was, and if I'm mistaken, I
25 apologize, but that certainly had been my understanding.

1 CHAIRMAN EDGAR: Okay. And, Mr. Guest, I was
2 going to ask you the same question. So --

3 MR. GUEST: We are going to have some
4 questions.

5 CHAIRMAN EDGAR: Okay. Then I think where we
6 are is, we will take here in just a moment Mr. Jenkins.
7 We will get as far as we can with Jenkins, Kosky, Sim,
8 and -- is Mr. Yeager here today? Maybe we'll get there,
9 maybe not.

10 And so the question comes back to you
11 Mr. Guest, as to whether we have Mr. Schlissel appear
12 tomorrow to finish the cross and redirect or admit his
13 deposition testimony in lieu of.

14 MR. GUEST: I'm going to need a minute to
15 decide that. I didn't expect to have that option.

16 CHAIRMAN EDGAR: Okay. Do you want to decide
17 that now, or do you move on and tell us later?

18 MR. GUEST: Well, he's supposed to catch a
19 plane in 20 minutes.

20 CHAIRMAN EDGAR: Then we'll take a moment in
21 place.

22 (Off the record briefly.)

23 CHAIRMAN EDGAR: All right. Back on the
24 record. I apologize. I didn't realize you were ready.
25 Okay. Where are we?

1 MR. GUEST: Thank you for indulging us and
2 giving us the time to work this through. We are not
3 going to call Dr. Schlissel. We're going to leave him
4 in Cambridge. He's got personal issues up there. It's
5 probably a really good idea to be doing this for him
6 too. So we just won't call him, and we'll just put in
7 the deposition.

8 CHAIRMAN EDGAR: Ms. Brubaker, any concerns or
9 other issues that we would need to address? We do have
10 the matter of the exhibits, and we will need to put in
11 the deposition.

12 MS. BRUBAKER: Provided, of course, no other
13 party has any questions for Mr. Schlissel, staff is
14 happy to stipulate to his existing testimony as well as
15 his deposition in lieu of further cross. As far as
16 entering his testimony and current exhibits in the
17 record, we can simply take those up, if you like, when
18 he comes up in turn as listed on page 4 of the
19 Prehearing Order, or we can take them up now if that's
20 the --

21 CHAIRMAN EDGAR: We'll do it in order so that
22 I don't get confused.

23 MR. LITCHFIELD: Madam Chairman, I have one
24 other --

25 CHAIRMAN EDGAR: Mr. Litchfield.

1 MR. LITCHFIELD: I have one other suggestion,
2 again, to potentially save Mr. Plunkett a trip down as
3 well. We would also be amenable to forgoing cross and
4 putting his deposition into the record and stipulating
5 his testimony in as well.

6 MR. GUEST: I think Mr. Plunkett needs to be
7 here.

8 CHAIRMAN EDGAR: Okay. All right.

9 MR. GUEST: So we're going to do him for sure
10 tomorrow, and if we're going to do him for sure tomorrow
11 -- is that our understanding, Madam Chairman?

12 CHAIRMAN EDGAR: I think we can get there.
13 I'll need everybody to work with me. Okay?

14 MR. GUEST: Well, of course, I will work in
15 every way possible, but it wasn't sure how for sure that
16 felt.

17 CHAIRMAN EDGAR: It's not all within my
18 control, but I will certainly work to accommodate that.

19 MR. GUEST: Okay.

20 CHAIRMAN EDGAR: Mr. Krasowski, did you have a
21 question or concern before we move on?

22 MR. KRASOWSKI: No, ma'am. Everything is just
23 fine right now.

24 CHAIRMAN EDGAR: Thank you.

25 Okay. Mr. Anderson.

1 MR. ANDERSON: Thank you, Chairman Edgar.

2 CHAIRMAN EDGAR: Thank you.

3 Thereupon,

4 STEPHEN D. JENKINS

5 was called as a witness on behalf of Florida Power &
6 Light Company and, having been duly sworn, testified as
7 follows:

8 DIRECT EXAMINATION

9 BY MR. ANDERSON:

10 Q. Good afternoon, Mr. Jenkins.

11 A. Good afternoon.

12 Q. Have you been sworn?

13 A. Yes, I have.

14 Q. Would you please tell us your name and your
15 business address?

16 A. My name is Stephen Jenkins, and my business
17 address is 4350 West Cypress Street, Tampa, Florida
18 33607.

19 Q. By whom are you employed and in what capacity?

20 A. I'm employed by the engineering firm CH2M
21 Hill, Inc. I am their Vice President, Gasification
22 Services.

23 Q. Have you prepared and caused to be filed 33
24 pages of prefiled direct testimony in this proceeding?

25 A. Yes, I have.

1 **Q.** Did you also cause to be filed errata to your
2 testimony on March 13, 2007?

3 **A.** Yes, I did.

4 **Q.** Do you have any further changes or revisions
5 to your prefiled direct testimony other than the errata
6 sheet?

7 **A.** No, I do not.

8 **Q.** With those changes, if I asked you the same
9 questions contained in your prefiled direct testimony,
10 would your answers be the same?

11 **A.** Yes.

12 MR. ANDERSON: Madam Chairman, we ask that
13 Mr. Jenkins' prefiled direct testimony as amended by the
14 errata be inserted into record as though read.

15 CHAIRMAN EDGAR: The prefiled direct testimony
16 with the errata will be entered into the record as
17 though read.

18 MR. ANDERSON: We note that Mr. Jenkins has no
19 exhibits or attachments to his direct testimony.

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF STEPHEN D. JENKINS**

4 **DOCKET NO. 07 _____ - EI**

5 **JANUARY 29, 2007**

6

7 **Q. Please state your name and business address.**

8 A. My name is Stephen D. Jenkins. My business address is ~~URS Corporation, 7650~~ ^{5340 W. Cypress Street}

9 ~~West Courtney Campbell Causeway,~~ Tampa, Florida 33607.

10 **Q. By whom are you employed and what is your position?**

11 A. I am employed by ~~URS Corporation ("URS") as the IGCC Technology Leader.~~ ^{CH2M Hill, Inc. as Vice President, Gasification Services.}

12 **Q. Please describe your educational background.**

13 A. I received a Bachelor of Science in Chemical Engineering from the University of
14 South Florida in 1976.

15 **Q. Please describe your work and professional experience.**

16 A. I have over 30 years of experience in the power industry, primarily in the design,
17 permitting, and operation of large coal-fired and oil-fired power plants, emission
18 control systems for coal-fired power plants, and Integrated Gasification Combined
19 Cycle ("IGCC") power plants. Prior to joining ~~URS~~ ^{CH2M Hill}, I worked for TECO Energy,
20 as well as several of its subsidiaries, including Tampa Electric Company and
21 TECO Power Services. I worked in a number of areas in these companies,
22 including power plant operations, power plant engineering, fuels, environmental
23 planning, finance, governmental affairs and regulatory affairs. I also served as the

1 Deputy Project Manager for the Polk Power Station IGCC project, one of the two
2 operating IGCC power plants in the U.S.

3 **Q. Where are you currently employed?**

4 A. I am employed by ^{Citizen Hill} ~~URS~~ in the Tampa, Florida office.

5 **Q. What do you do in that job capacity?**

6 A. I am responsible for leading our IGCC and gasification business in the power
7 industry, across the U.S. My job responsibilities include business development, as
8 well as managing large projects in related technical areas. This includes a number
9 of projects where we are providing environmental permitting, planning, feasibility
10 and engineering services. I personally have been involved in the feasibility
11 engineering, permitting or design of ten different coal gasification and IGCC
12 projects.

13 **Q. What is the purpose of your testimony?**

14 A. The purpose of my testimony is to show that Florida Power & Light Company's
15 ("FPL") selection of ultra-supercritical pulverized coal ("USCPC") technology for
16 the proposed FPL Glades Power Park ("FGPP") is a more prudent one than had
17 they selected IGCC technology. This is based on an overall analysis and
18 comparison of factors that include technology maturity, efficiency, reliability,
19 power generating capability, operational history and environmental performance.

20 **Q. What is IGCC technology?**

21 A. IGCC is a developing technology for generating electricity using coal or other
22 similar feedstocks. Unlike conventional pulverized coal ("PC") fired power
23 plants where the coal is combusted in a boiler, and steam is produced, turning a

1 turbine generator to produce electricity, the IGCC process converts coal into a
2 synthetic gas, or syngas, which, after cleaning, can be burned in a gas turbine
3 generator. An IGCC facility combines gasification technology from the chemical
4 industry with combined cycle power generation technology from the power
5 industry. Air, steam, nitrogen and other streams are integrated between the
6 gasification and combined cycle "islands"; hence, the name Integrated
7 Gasification Combined Cycle, or IGCC.

8 **Q. How much of your background is involved in IGCC technology?**

9 A. I have worked with IGCC technology for 15 years, about half of my career.

10 **Q. How much of your current job is spent working on IGCC issues?**

11 A. About 75% of my current work applies directly to IGCC technology.

12 **Q. Have you written any articles, or done any presentations, on IGCC
13 technology?**

14 A. Yes. I have written articles and made many presentations on IGCC technology
15 over the past 15 years.

16 **Q. Do you consider yourself an expert in IGCC technology?**

17 A. Yes. As I noted, I was the Deputy Project Manager for the Polk Power Station
18 IGCC project, one of the two operating IGCC power plants in the U.S. Since then,
19 I have been directly involved in a number of IGCC and gasification projects
20 across the U.S. This includes providing environmental permitting, technical
21 feasibility, and engineering services for a number of these modern IGCC and
22 gasification plants that are in development at this time. In addition, I serve on the

1 Electric Power Research Institute's CoalFleet for Tomorrow Program IGCC
2 Experts Group.

3
4 **FGPP SITE**

5
6 **Q. Can you please describe the technology that FPL is proposing to use at**
7 **FGPP?**

8 A. The technology to be used at FGPP is USCPC technology. In this kind of a
9 power generation technology, coal is crushed to a fine powder, and blown into a
10 boiler with air. The coal-air mixture burns at temperatures of over 2,500 °F. Heat
11 from the combustion is transferred to the water that is pumped through the boiler
12 tubes, turning it to steam at very high temperatures and pressures. The operating
13 pressure of coal-fired power plants is classified as either subcritical pulverized
14 coal ("SPC") or supercritical pulverized coal ("SCPC"). SPC and SCPC refer to
15 the state of the water and steam that is used in the steam generation process. SPC
16 power plants utilize pressures below the critical point of water in which there is a
17 distinct difference in the state of the water and the steam. The critical point of
18 water is 3,208 psia and 705 °F. At this "critical" point, there is no difference in
19 the density of water and steam. At pressures above 3,208 psia, heat addition no
20 longer results in the typical boiling process in which there is an exact division
21 between steam and water. The fluid becomes a composite mixture throughout the
22 heating process. The majority of the boilers in the U.S. utilize subcritical
23 technology, typically with steam temperatures up to 1,050 °F and pressures up to

1 2,400 psia. These units utilize a steam drum and internal separators to separate
2 the steam produced in the boiler from the water circulating in the boiler tubes.
3 Supercritical units do not utilize a steam drum, since there is no way to separate
4 steam from the steam-water mixture.

5
6 In SCPC boilers, all of the water introduced into the boiler is turned into the
7 supercritical steam-water mixture. Operation at the higher supercritical pressures
8 is more efficient than for subcritical boilers. The U.S. Department of Energy
9 (“DOE”) has defined USCPC steam cycles as operating pressures exceeding
10 3,600 psia and main steam superheat steam temperatures approaching 1,100
11 degrees F. This is even more efficient than conventional SCPC technology. FGPP
12 plans to utilize the more efficient USCPC technology.

13
14 The high pressure steam is then piped to the steam turbine, where it turns the
15 turbine blades at high speed. The turbine is connected on a shaft to a generator,
16 which produces the electricity. The steam is condensed to water, and then
17 pumped back to the boiler to be turned into steam again.

18
19 In the boiler, the ash in the coal is converted primarily to fly ash, with some
20 falling to the bottom of the boiler; it is called bottom ash. The bottom ash is
21 cooled in a water bath and removed for re-use in industry or it can be safely stored
22 in a lined landfill. The fly ash is removed in the emission control system. In the
23 boiler, low-NOx burners, with overfire air, are an industry-standard design for

1 minimizing the formation of NOx during combustion. The emission control
2 system for a coal-fired power plant typically includes a selective catalytic
3 reduction ("SCR") system for reducing emissions of nitrogen oxide ("NOx")
4 emissions, a sorbent injection system for capture of mercury, a fabric filter for
5 removal of the fly ash and captured mercury from the exhaust gas stream, a flue
6 gas desulfurization ("FGD") system for removal of the sulfur dioxide ("SO₂")
7 produced when the sulfur inherent in the coal is also combusted, and a wet ESP
8 for removal of fine particulates. These are all included in the design of FGPP.
9 Following the emission control system, the cooled, cleaned exhaust gas exits
10 through a stack.

11 **Q. Is the technology that FPL is proposing to use a proven and reliable**
12 **technology?**

13 A. Yes. The USCPC technology that FPL is proposing to use is proven worldwide
14 and is a reliable technology for power generation.

15 **Q. Are other facilities in the United States and around the world using this**
16 **technology?**

17 A. Yes. There are approximately 160 supercritical generating units in operation in
18 the U.S., with over 500 operating worldwide. This number includes 17 plants
19 worldwide using the more advanced USCPC technology proposed for FGPP.
20 Several have been operating almost nine years, and operating data shows that
21 these units have been very reliable.

22 **Q. Are you a proponent of IGCC technology?**

23 A. Yes. I am. Although IGCC is still in the development phase of, I think that it will

1 be able to significantly reduce emissions and provide low cost electricity, once it
2 is proven at a large, commercial scale.

3 **Q. Has IGCC been used successfully for other power plants in the United States**
4 **and around the world?**

5 A. Yes. Although its application was not initially successful due to difficult start-ups
6 and low plant availability, these IGCC facilities can now be considered as
7 successful.

8 **Q. Please describe some of the currently existing IGCC plants in the United**
9 **States and around the world.**

10 A. There are four coal-based IGCC plants in operation worldwide. They include
11 Tampa Electric Company's Polk Power Station near Mulberry, Florida; SG
12 Solutions' Wabash River Generating Station in West Terre Haute, Indiana;
13 Nuon's Willem-Alexander Centrale Station in Buggenum, The Netherlands; and
14 the Elcogas Puertollano Plant in Puertollano, Spain. There was a fifth plant, in
15 the U.S., but it is no longer in operation.

16 **Q. How big are those facilities?**

17 A. All four of these are single train gasification plants, each with a net output in the
18 range of 250-260 MW.

19 **Q. Has anyone built a 1,960 MW facility using IGCC?**

20 A. No.

21 **Q. What is the largest facility that has been built using IGCC?**

22 A. The largest coal-based IGCC plant is sized at 260 MW (net).

1 **Q. Do you know of any proposed 1,960 MW or larger IGCC facilities?**

2 A. No. I do not.

3 **Q. What is the largest size IGCC plant that is commercially available?**

4 A. The largest size being commercially available is called the 600 MW net
5 "reference plant." This size is being offered by five different IGCC technology
6 providers, although the specific commercial and environmental guarantees are not
7 publicly available. This 600 MW net size incorporates several gasifiers to
8 produce two to three times the amount of syngas produced at each of the
9 demonstration facilities, which is sufficient to fully load two of the modern gas
10 turbines being commercially offered for syngas service. Integrated together, the
11 net output is about 600 MW. It will first be very important to prove the coal
12 gasification technology at this larger scale, as well as proving these new types of
13 syngas-fired gas turbines at commercial scale. Once that has been done
14 successfully, and I believe that it will be, these companies will begin to offer large
15 designs. That is likely to happen about six to eight years from now after this next
16 generation of IGCC plants has gone into service.

17 **Q. Have the current IGCC facilities been funded by their governments?**

18 A. Yes. All four of the operating plants received significant amounts of co-funding
19 from their respective federal governments. This is because both private industry
20 and the governments were very interested in developing IGCC and demonstrating
21 it at commercial scale, but neither was able to bear the entire costs of these plants.
22 In the case of Polk Power Station, the DOE funded 20-25% of the capital cost of
23 the plant, as well as some of the operating costs during the demonstration period.

1 **Q. What has been the track record of these facilities?**

2 A. The initial start-up at all of these plants was very difficult and the overall plant
3 availability for each of these plants was low for the first several years. Since then,
4 many operational problems have been solved, some equipment has been removed
5 or modified, and many of the “bugs” have been worked out.

6 **Q. Are all these facilities still online and functioning?**

7 A. No. Only four of the five are in operation.

8 **Q. Is the facility in Nevada still online and functioning?**

9 A. No. The gasification facility at the Piñon Pine IGCC demonstration plant in
10 Nevada is no longer functioning, although the power block is operating using
11 natural gas as a fuel.

12 **Q. Why is the Nevada facility not online and functioning?**

13 A. This IGCC plant was developed as part of the DOE’s Clean Coal Technology
14 Program, as were the Polk Power Station and Wabash River IGCC facilities. The
15 gasification technology used at the Piñon Pine IGCC demonstration plant was not
16 successful, and was shut down following initial start-up and operation.

17 **Q. How reliable are IGCC facilities?**

18 A. The four operating IGCC plants described previously had significant start-up and
19 initial operation problems. Reliability in the first three to four years was much
20 lower than planned. Since then, many of the design and operation issues have
21 been successfully resolved. Availability values are much higher, although none
22 of these plants have achieved sustained reliability values of 85%, as planned. In
23 its ninth year of operation, Polk Power Station achieved 82% availability of the

1 overall IGCC plant. Wabash River reached about 78% availability in its seventh
2 year of operation. The Nuon IGCC plant reached about 78% availability in its
3 eleventh year of operation, and Puertollano's availability peaked at about 60%
4 during its fifth year of operation.

5 **Q. Why do IGCC plants have problems with reliability?**

6 A. The four IGCC plants all have single-train gasification islands. Whenever a
7 single train is removed from service due to operational problems, there is no
8 syngas available for combustion in the gas turbines. At that point, unless a back-
9 up fuel is used, the power plant must be shut down. The use of a single train in
10 these demonstration plants is a major contributor to the low reliability of IGCC
11 plants. Other reasons for low reliability include corrosion and erosion of gasifier
12 refractory, requiring an outage for replacement, corrosion of process piping,
13 plugging of syngas heat exchangers that leads to outages for cleaning, corrosion
14 of process piping, slurry pump problems, and miscellaneous power block
15 problems that can occur in any combined cycle plant. A reliability issue that is
16 somewhat unique to syngas use relates to high rotor torque. Gas turbines are
17 designed to handle the combustion of natural gas. Since syngas has a much lower
18 heating value, a much greater amount of syngas is required to fully load the gas
19 turbine. This additional rotational stress has had negative impacts on syngas-fired
20 gas turbine reliability.

21
22 There are many gasifiers operating successfully worldwide. They are typically
23 used for producing a syngas that can be further processed to produce hydrogen for

1 refineries or to make ammonia for fertilizer manufacture, not to produce
2 electricity. Some of these facilities, particularly those with spare gasifier trains,
3 reach availability values in the high 90% range. Some of the successful gasifiers
4 also use refinery bottoms, like asphalt, as a feedstock. Such liquid feedstocks
5 require little handling and preparation, versus the coal handling and coal grinding
6 systems required in a coal-based IGCC plant. Operating a gasifier by itself is
7 significantly less difficult and complicated than when using a gasifier as an
8 integrated part of a complex IGCC plant that produces electricity. It is important
9 to note that the "integration" part of IGCC is very difficult to design for and to
10 operate. All of these components in the gasification and power block islands must
11 be operated interdependently. The failure of one system often leads to the entire
12 plant being shut down. It is very different from having to operate only a gasifier.
13 That is why the reliability of gasifier-only facilities is greater than those of IGCC
14 facilities.

15 **Q. Has there been an effort to improve the performance of IGCC?**

16 A. The next generation of IGCC plants is being designed using the lessons learned
17 from the four operating plants. Some of the key design enhancements to improve
18 reliability include using two 50% sized gasification trains (instead of one 100%-
19 sized train), and even adding a third gasifier train as a spare, better integration
20 between the gasification island and the power block, better gasifier refractory
21 materials, design without convective syngas coolers, and upgraded gas turbine
22 burners and materials for syngas service. These design improvements, along with
23 other lessons learned, are expected to provide for easier initial start-up, as well as

1 higher availability. Use of a spare gasification train is expected to provide up to
2 90-92 % availability, but adds to the cost of the facility. Moreover, these design
3 enhancements will not be placed into service until the 2011-2013 timeframe, so
4 that it will be six to eight years from now (allowing for start-up and initial
5 operation) before we see whether IGCC reliability can be improved to levels
6 greater than 85%.

7 **Q. Is IGCC technology progressing as quickly as you would like?**

8 A. No. It is not. The first generation of IGCC plants went into service between 1994
9 and 1998. The second generation will not go into service until 2011-2013, a time
10 delay of about sixteen years. When we designed and built Polk Power Station, it
11 was our expectation that the technology would be embraced by the industry, and
12 that by now we would have had the critical second generation of IGCC plants
13 already in operation, in order to prove the technology on a large, commercial
14 scale.

15 **Q. Does IGCC need more investment in research?**

16 A. Yes. IGCC still requires a significant amount of investment in research and
17 development. That is why individual power companies, the Electric Power
18 Research Institute ("EPRI"), and the U.S. DOE are still planning and funding
19 such research and development ("R&D") to support further IGCC technology
20 development. In the Coal Technology Roadmap developed by EPRI and Coal
21 Utilization Research Council, a total of \$5.2 billion of R&D and demonstration of
22 promising improvements is still needed to provide for the needed IGCC
23 enhancements. These include basic system development, efficiency

1 improvements, use of new air separation technology, improvements in gasifier
2 refractory materials, new types of particulate removal devices, slurry pump
3 enhancements, gasifier skin temperature monitoring systems, more efficient
4 emission control systems, and gas turbines that can handle high hydrogen
5 concentration syngas. Of this \$5.2 billion, about 60% would be needed from the
6 federal government. In addition, the Energy Policy Act of 2005 provides for
7 additional IGCC and gasification R&D through the U.S. DOE's Clean Coal
8 Power Initiative, as well as tax incentives and loan guarantees to promote further
9 demonstration of IGCC and gasification technology. This legislation specifically
10 recognizes the continuing need for R&D and co-funding or economic incentives
11 for IGCC technology to succeed at large, commercial scale.

12 **Q. When do you think IGCC will be commercially available?**

13 A. IGCC is commercially available from IGCC technology suppliers at this time,
14 based on a 600 MW net IGCC "reference plant" design. However, the plant
15 would not be able to be started up for five to six years from the time you began
16 the IGCC project. For example, if you began a 600 MW net IGCC reference
17 plant project today, it would be late 2012 to 2013 at best before the plant was
18 ready for startup. Any changes to the basic reference plant design would take
19 longer to design, and may not even be commercially available.

20
21 If IGCC technology were to be selected for this project, FPL would likely use the
22 largest size plant available, in order to take advantage of economies of scale, just
23 as it has already done in choosing large 980 MW (net) USCPC units. For IGCC,

1 the closest match to meet the 1,960 MW (net) value would be to use a 3x3x1
2 configuration such as the one referenced in the study jointly conducted by FPL
3 and Black & Veatch. This study is noted as Document No. DNH-2 in the
4 testimony provided by Mr. Hicks of FPL. However, as I noted previously, the
5 largest size IGCC facility that is being offered by the IGCC technology suppliers
6 is the 600 MW (net) reference plant. Therefore, a non-standard 3x3x1
7 configuration, if commercially available, would take even longer to be designed
8 and constructed.

9
10 IGCC technology suppliers, in alliance with engineering firms and power block
11 suppliers, are offering the technology today with limited guarantees on
12 performance and emission limits. Although about a dozen power companies are
13 going forward with IGCC projects, none have yet finalized a contract for a
14 complete reference plant, so that such terms and conditions, as well as the
15 guarantees, have not yet become publicly available. Due to the higher cost of
16 IGCC compared to SCPC technology, many of these projects are counting on the
17 financial incentives provided by state and federal legislation in order to help make
18 the projects commercially feasible.

19 **Q. Do you think that IGCC technology is commercially ready?**

20 A. Although IGCC is commercially available, it will not be commercially ready or
21 proven on a large scale for at least another six to eight years, once this next
22 generation of IGCC plants has gone into service and had an opportunity to work
23 through initial start-ups and reach steady operation.

1 Q. Do you have concerns regarding the use of IGCC technology at FGPP?

2 A. Yes. I would have some concerns with the use of IGCC technology at this site.

3 Q. What are some of your concerns with the use of IGCC technology at the site?

4 A. First, I would be concerned with the potential for reliability problems. FGPP is
5 being designed for 92% reliability, which is commercially available and proven
6 with SCPC technology. As noted previously, such high reliability levels have not
7 yet been demonstrated by existing IGCC power plants, and it will be six to eight
8 years before the presently planned IGCC plants are able to prove whether the
9 intended design enhancements can provide for improved reliability.

10

11 Second, FGPP is being designed to produce 1,960 MW net, using two USCPC
12 generating units. As noted previously, IGCC is only commercially available, but
13 not yet “ready” or “proven,” at the 600 MW net size. It would take more than
14 three IGCC reference plants to do the job of the two USCPC units. At the present
15 time, the three IGCC technology supplier alliances are at their busiest ever. I am
16 concerned that the supplier alliances would not be able to support the engineering,
17 procurement, and construction of three concurrent 600 MW IGCC reference
18 plants.

19

20 Third, it takes five to six years to design, permit, and construct an IGCC plant. If
21 FPL were to start now, it would be late 2012 or 2013 at best before the first IGCC
22 plant could be ready for operation.

1 **Q. Do you have reliability concerns with an IGCC plant?**

2 A. As I noted previously, the existing IGCC power plants demonstrated poor
3 reliability in the initial years of operation, with only medium reliability values at
4 maturity. Even though designs are including information from lessons learned, it
5 will still be another six to eight years before we know whether IGCC can provide
6 the high reliability values that are presently being demonstrated by SCPC plants
7 worldwide.

8 **Q. Why do you have reliability issues with an IGCC plant?**

9 A. These concerns are based on the historical poor to moderate performance of the
10 four operating IGCC plants worldwide, and the fact that the potential for higher
11 reliability will not be known for another six to eight years.

12 **Q. Why is the plant that FPL is proposing more reliable than an IGCC plant?**

13 A. PC technology has been in commercial operation worldwide for about 100 years.
14 IGCC has only been in commercial operation worldwide for about 13 years.
15 There are more than 300,000 MW of PC capacity in the U.S. There are only 510
16 MW of IGCC capacity in the U.S. PC technology is proven at a large scale in
17 thousands of applications. PC units (whether SPC, SCPC or USCPC) have
18 demonstrated high reliability. The operation of a PC unit does not require the
19 interdependent operation of a multitude of individual chemical and mechanical
20 processes as does IGCC. IGCC plants take several days for a cold start, due to
21 limitations in the rate of heating up of the gasifier (to protect the refractory from
22 thermal cracking), as well as cooling the air separation "cold box" to well below
23 freezing temperatures. Together, these have significant negative impacts on the

1 total number of days per year that the IGCC plant can operate at full load. IGCC
2 plants have suffered from these problems and have exhibited reliability problems.
3 PC plants require several days for a cold start, but these would typically occur two
4 or three times per year. IGCC plants also have a history of many warm or hot
5 starts. While these startups do not take as long, they still impact negatively on
6 IGCC unit reliability. Two of the IGCC plants being planned at this time for
7 operation in the 2011 to 2012 timeframe have noted in their air permit
8 applications the potential for over 60 startup and shutdown events per year, far
9 more than what is normal for PC units. Taking into account all of these reasons,
10 PC units are expected to continue to provide higher reliability than IGCC units.

11 **Q. Is there a proposed IGCC facility in Orlando?**

12 A. Yes. An IGCC plant is being planned in the Orlando area.

13 **Q. Can you compare that facility to the proposed FGPP?**

14 A. The Orlando Gasification Project ("OGP") is being developed by the Orlando
15 Utilities Commission ("OUC") and Southern Power Company ("Southern"), a
16 subsidiary of the Southern Company, which is a large utility holding company.
17 OGP is planned to start up in 2010. The OGP proposes to demonstrate the
18 Kellogg Brown and Root ("KBR") transport gasifier in IGCC configuration. The
19 KBR technology has been developed from technology used in catalytic crackers
20 in the refinery industry. OUC and Southern expect this new IGCC technology to
21 provide for higher efficiencies, especially when applied to low quality coals. The
22 KBR technology has been pilot tested at the approximately six MW scale at the
23 Power Systems Development Facility in Wilsonville, Alabama, adjacent to

1 Alabama Power Company's Gaston Steam Plant. The KBR technology is an air-
2 blown gasification technology, unlike the oxygen-blown gasification technology
3 being commercially offered by GE Energy, ConocoPhillips and Shell (although it
4 can operate in oxygen-blown mode). In addition, OGP will use Powder River
5 Basin subbituminous coal railed in from Wyoming, unlike the higher quality
6 bituminous coal planned for FGPP.

7
8 OGP will be sized for a net output of only about 285 MW. This is about one-sixth
9 of the power generation capacity to be produced by the USCPC generating units
10 planned for FGPP. Overall, OGP will be much smaller in scale than FGPP, and
11 will use a power generation technology that is not yet proven at large commercial
12 scale.

13 **Q. Can you compare the efficiency?**

14 A. The efficiency of OGP will not be known until it has been in operation for at least
15 a year, meaning some time in 2011. For comparisons of SCPC and IGCC
16 efficiency, I refer you to the study jointly conducted by FPL and Black & Veatch.
17 This study is noted as Document No. DNH-2 in the testimony provided by Mr.
18 Hicks of FPL.

19 **Q. Can you compare the Capital Cost?**

20 A. Comparisons of the capital costs of different projects are difficult, due to
21 differences in what each estimate includes or excludes. According to the DOE,
22 the cost of the OGP will be \$557 million. However, I understand from Southern
23 that this amount only includes the gasification portion of the project, and not the

1 combined cycle power block. Therefore, it is not possible to make a comparison
2 of capital costs with FGPP. For comparisons of SCPC and IGCC cost, I refer you
3 to the study jointly conducted by FPL and Black & Veatch. This study is noted as
4 Document No. DNH-2 in the testimony provided by Mr. David Hicks of FPL.

5 **Q. Can you compare the technology status?**

6 A. As noted previously, USCPC technology is proven on a large commercial scale.
7 IGCC technology is still in development, and is not yet mature. OGP will only
8 demonstrate the KBR technology at about half of the IGCC reference plant size
9 and one-seventh the size of FGPP.

10 **Q. Can you compare the scale-up required?**

11 A. The USCPC technology proposed for FGPP will not require any technology
12 scale-up, as it is already in commercial operation worldwide at the proposed scale.
13 The capacity of the KBR gasifier will need to be scaled-up over fifty times.

14 **Q. Has the Orlando facility received government funding?**

15 A. OGP is receiving co-funding under Round two of the DOE's Clean Coal Power
16 Initiative.

17 **Q. How much funding will it receive under this program?**

18 A. According to the DOE, it will be providing \$235 million in co-funding for OGP.

19 **Q. How effective is the plant that FPL is proposing in reducing emissions?**

20 A. The emission control systems planned for the USCPC power generation
21 technology proposed for FGPP will be designed to provide state-of-the-art
22 emission reductions.

1 **Q. Can you please discuss each of the emissions, such as nitrogen oxides, sulfur**
 2 **dioxide, mercury and other emissions in terms of how they would be handled**
 3 **at an IGCC plant versus the proposed FPL plant?**

4 **A.** As I noted previously, an IGCC facility converts coal to a syngas, which is then
 5 cleaned and combusted in the gas turbine. The reduction of emissions from an
 6 IGCC plant occurs pre-combustion, so that pollutants are removed or reduced
 7 before the syngas is burned. This is different from a PC plant, where most of the
 8 emission reductions are achieved post-combustion, meaning that emissions are
 9 removed from the exhaust gas after the coal is burned. The table below describes
 10 the typical emission control methods for the USCPC technology proposed for
 11 FGPP and for IGCC.

	FGPP	IGCC Plant
NO_x	Low-NO _x burners and overfire air to reduce formation of NO _x , along with Selective Catalytic Reduction (SCR) to remove NO _x from the flue gas	Syngas humidification and injection of diluent nitrogen (for oxygen-blown IGCC systems) into syngas just prior to the gas turbine or in the burners
SO₂	Wet Flue Gas desulfurization (FGD) system	Removal of hydrogen sulfide from syngas reduces SO ₂ emissions when the syngas is combusted in the gas turbines
PM/PM₁₀	Use of fabric filter to remove fly ash from the flue gas, along	System can use wet carbon scrubber, hot gas cyclone, and/or

	with minimizing fine particulate through removal of SO ₃ droplets in a wet ESP	high temperature, high pressure candle filter
CO	Good combustion practices	Good combustion practices
VOC	Good combustion practices	Good combustion practices
SAM	FGD system and wet precipitator	Fuel sulfur specification and SO ₂ emission control
Mercury	Co-benefits removal in ESP or fabric filter, and in FGD system, along with sorbent injection upstream of the fabric filter	Removal in slag, carbon scrubber, pre-sulfided activated carbon bed, and acid gas removal system recirculating solvent

1 **Q. Does reliability affect emissions? In other words, if you have to start up a**
2 **plant more frequently, does that affect emissions?**

3 A. Yes. Overall plant reliability can affect overall emissions. When a PC power
4 plant starts up, the boiler is fired with coal at a very low throughput, and then it
5 gradually ramps up to a higher throughput. When the proper steam conditions are
6 reached, the steam is routed to the steam turbine for power generation, although at
7 a minimum load. Then the coal throughput, steam production and power
8 generation are gradually ramped up to full load.

9
10 During the time a plant is starting up, coal is being consumed without any power
11 generation, until steam conditions are right for sending it to the steam turbine.
12 Power plants operate at their most efficient point at high loads. During the start-
13 up process, the unit operates at a lower efficiency. This means that more coal is
14 used for a unit of power generated than it would at a high load. Since more coal
15 is being consumed, more emissions are produced per unit of power generated.
16 Fortunately, PC units have a fairly short start-up time period. In starting up a
17 coal-fired unit, steam requirements are typically met using a small, auxiliary
18 boiler. These boilers use fuel oil or natural gas, and contribute to the unit's
19 overall emissions.

20
21 IGCC units have a different start-up profile. As noted previously, a cold start-up
22 on an IGCC power plant can take several days. During this time, large amounts
23 of coal can be consumed in the gasification process while the emission control

1 systems are being started up. Clean or partially cleaned syngas is flared.
2 Emissions from the flare can be substantial, depending on the state of operation of
3 the emission control systems and the total time of flaring. Combining these
4 technical issues with a somewhat lower reliability of IGCC versus PC technology,
5 an IGCC plant could actually produce more emissions on an annual basis than a
6 PC unit, even though it may have a lower emission rate on a lb/MWh or pounds
7 per million Btus of heat input basis.

8 **Q. Based on the technology today, do you believe that the emissions would be**
9 **better for an IGCC facility versus the proposed FPL power plant?**

10 A. Not necessarily. The proposed emission rates for some of the pollutants for
11 proposed IGCC units are lower than those proposed for FGPP. However, due to
12 the impacts of all of the start-up and shutdown cycles inherent with IGCC
13 facilities, there can be some substantial overall increases in overall emissions
14 from an IGCC facility that are not accounted for in these proposed emission rates.
15 URS analyzed the emission data in the air permit applications for several
16 proposed IGCC facilities, as well as similar data for FGPP. We looked at the
17 proposed emission rates in lb/MWh and then calculated what those values would
18 be when incorporating the emissions from the start-up and shutdown cycles.
19 What we found was that for FGPP, the emissions from start-up and shutdowns
20 increased the overall emission rates by no more than five %. However, it was
21 very different for the IGCC units. We saw that the emission rates for the IGCC
22 units could actually be increased by an average of 38%, if all of the potential start-
23 up and shutdown emissions are accounted for. Based on that analysis, it is

1 possible that an IGCC unit with an emission rate lower than that for a PC unit
2 may actually have an equal or greater potential emission rate, due to the
3 differences in the start-up and shutdown issues. I would not expect that in actual
4 operation, that all of these start-up and shutdown cycles would occur. The air
5 permit applications were written in a way so as not to constrain the units'
6 operation, so that the number of start-up and shutdown cycles was maximized.
7 For an actual comparison, each unit's characteristics would have to be analyzed to
8 determine the overall impact of start-ups and shutdowns.

9 **Q. Is IGCC "CO₂ Capture Ready"?**

10 A. When discussing IGCC technology, the term "CO₂ capture ready" means that the
11 IGCC plant is technically ready to be converted to produce a concentrated stream
12 of CO₂ (through the water shift reaction), and that the CO₂ can be easily captured
13 and removed from the syngas stream. An IGCC plant is not capture ready unless
14 it has been designed from the beginning to provide for these significant
15 modifications. IGCC by itself is not "CO₂ capture ready."

16 **Q. What changes are needed to make an IGCC plant CO₂ capture ready?**

17 A. First, the IGCC technology being used, as well as the physical plant itself, must
18 be capable of the addition of a water shift reactor. This is the primary process
19 where the syngas is processed and converted to a stream with high concentrations
20 of both hydrogen and CO₂. Since the water shift reaction is exothermic, steam is
21 typically produced for use elsewhere in the process. The IGCC plant design must
22 account for the addition of this water shift reactor and to have a proper place to
23 route this low pressure steam.

1 Then there must be room for the addition of a very large CO₂ capture/removal
2 system. While the acid gas removal systems typically used for H₂S removal can
3 also be used to absorb some of the CO₂, they are much more selective for the H₂S.
4 This means that it is much more difficult to remove the CO₂ than the H₂S from the
5 syngas. The H₂S removal system is much too small to also remove a large portion
6 of the CO₂. It must be able to be scaled up considerably, with much additional
7 equipment required. The CO₂ removal system requires a significant amount of
8 high pressure steam to strip (remove) the CO₂ from the solvent, so that it can be
9 concentrated. Therefore, the steam turbine must be designed from day one with
10 steam extractions at the right temperatures and pressures for CO₂ stripping.

11
12 Significant additional power is required for the CO₂ removal system to operate.
13 With the extraction of steam noted previously, and the increased internal power
14 use, the IGCC plant's net output falls considerably, and this deficit must be made
15 up by other sources of generation.

16
17 Once the CO₂ is removed from the syngas, a hydrogen-rich syngas stream
18 remains. While gas turbines have the ability to burn syngas and other fuels that
19 contain some hydrogen, gas turbines for the combustion of concentrated hydrogen
20 streams are not yet commercially available at large scale. Gas turbine
21 manufacturers are doing R&D on their products to see how high a concentration
22 of hydrogen can be safely combusted (the burning profiles of natural gas,
23 hydrogen and syngas are all very different, and the burners must be specifically

1 designed to provide for safe, controlled combustion, especially with hydrogen).
2 Large, commercially-available gas turbines for hydrogen-rich syngas are not
3 expected until 2014.

4
5 Therefore, IGCC is not inherently CO₂ capture ready without significant
6 additions, modifications and impacts to its efficiency and output. I have heard
7 many people apply the term "CO₂ capture ready" to IGCC without really
8 understanding what is involved, both technically and financially, to implement
9 these significant changes. Just because people call it CO₂ capture ready does not
10 mean that it is.

11 **Q. Have CO₂ capture technologies been applied to IGCC?**

12 A. Yes, but only on a test basis.

13 **Q. Are EPRI and the DOE funding R&D on CO₂ capture technologies?**

14 A. Yes. A significant amount of design development is underway, in order to qualify
15 and quantify the modifications described previously. CO₂ capture for IGCC is not
16 yet a commercially available technology. Similar R&D is proceeding for CO₂
17 capture technology that could be applied to PC plants. Applying CO₂ capture to a
18 PC plant is presently much more difficult and expensive than for an IGCC plant.
19 This is primarily because the CO₂ must be removed from the flue gas after
20 combustion. Since air is used in combustion, the flue gas stream from a PC unit
21 has a high concentration of nitrogen (from the air), and the CO₂ is at a very low
22 concentration. It is much more difficult to remove CO₂ from a weak stream than
23 a concentrated stream. The CO₂ capture system must be much larger, more

1 expensive and more energy intensive. EPRI and the DOE are funding R&D for
2 CO₂ capture for both PC and IGCC.

3 **Q. Would inclusion of CO₂ capture technology reduce output at the plant?**

4 A. Yes. As I noted previously, a considerable amount of steam must be extracted
5 from the steam turbine for the CO₂ stripping process. This steam would otherwise
6 have been used for power generation. In addition, the CO₂ capture system has
7 large internal power requirements for pumps and other equipment. All of these
8 reduce the plant's net output in a significant way. A recent study by the EPA
9 shows that the addition of a CO₂ capture system would reduce the output of an
10 IGCC plant by 14% and a SCPC plant by 28%. The result of this is that the plants
11 would become very inefficient, and would be unable to meet their intended load
12 requirements.

13
14 Another option would be to size the plant to be much larger in the beginning, so
15 that the net output, after all of the steam extraction and additional internal power
16 use, results in the required net output. Of course, this would require the
17 expenditure of a significant additional capital cost to build the plant.

18 **Q. Would CO₂ capture technology raise the cost of electricity?**

19 A. Yes. It would. The equipment required for CO₂ capture is both extensive and
20 expensive. The plant would be more expensive, and the cost of electricity, which
21 would include a component to account for this additional capital expenditure,
22 would be higher.

1 **Q. Can you say that IGCC is “CO₂ capture ready” today?**

2 A. It is not. Once the R&D is completed over the next decade, as described
3 previously, IGCC is expected to be CO₂ capture ready.

4 **Q. Is IGCC currently effective at removing CO₂ and then providing an
5 appropriate storage location?**

6 A. No. It is not. There is no experience with the capture and sequestration of CO₂
7 from the four operating IGCC plants. To date, only pilot testing has been done on
8 IGCC plants for CO₂ capture. No sequestration of the CO₂ captured from those
9 tests has occurred.

10 **Q. Are you aware of any other power companies that have investigated the use
11 of IGCC?**

12 A. Yes. I am aware of many power companies that have investigated, or are
13 presently investigating, the use of IGCC.

14 **Q. Has AEP investigated the use of IGCC?**

15 A. Yes. It has investigated the use of IGCC.

16 **Q. Who is AEP and what did it conclude about the use of IGCC?**

17 A. AEP is the American Electric Power Corporation. It is the largest generator of
18 electric power in the U.S. AEP conducted a major study of IGCC technology.
19 The conclusions of that study, as presented by Mr. Michael Mudd of AEP, were
20 as follows:

- 21 • IGCC technology is not yet mature;
- 22 • IGCC efficiency is worse than advertised;
- 23 • IGCC costs are higher than advertised;

- 1 • It is difficult to get a fixed price and guarantees for an IGCC facility;
- 2 • IGCC startup is long and complicated; and
- 3 • More R&D is needed for IGCC to be proven for commercial use.

4
5 Initially, AEP found that the IGCC suppliers were not able to provide a “wrap” of
6 guarantees. As business alliances were formed among gasification technology
7 suppliers, power block suppliers, and engineering firms, AEP eventually felt
8 comfortable in expecting to obtain reasonable guarantees, and proceeded with the
9 Front End Engineering and Design (“FEED”) phase for a 600 MW net IGCC
10 reference plant.

11
12 Its IGCC plant will be developed in either Ohio or West Virginia, depending on
13 which state will allow it to recover the additional costs of building an IGCC plant
14 instead of an SCPC plant. This is a critical part of making the project financially
15 feasible for AEP. Once this initial design phase is completed, AEP will also have
16 a more accurate cost estimate for the plant, and will be able to determine whether
17 to continue with the project. AEP was planning for the capital cost premium of
18 IGCC over PC to be no greater than 20%.

19
20 In late December, 2006, AEP noted that its FEED study showed that the cost
21 would exceed this 20% premium. Because of that, AEP has instructed their
22 technology supplier team to re-evaluate and modify the design to find ways to
23 reduce the cost to meet this goal. It will likely be another six months before this

1 re-design and revision of the cost estimate are completed. AEP will need the new
2 cost estimate before it goes before the public utility commission to request
3 approval for the costs of detailed design and construction.
4

5 In addition to going forward with this IGCC project, AEP has continued to rely on
6 SCPC technology. In August of 2006, AEP announced the development of a 600
7 MW USCPC plant to be sited near Fulton, Arkansas, scheduled for operation in
8 the summer of 2011. In announcing this new PC plant, the company's president
9 noted that "we believe that a coal- or lignite-fueled plant is the best choice for
10 new base load generation to economically fuel the future growth of the economies
11 in our region, allow us to remain a low-cost provider, and prevent over-reliance
12 on natural gas for electricity generation as domestic natural gas supplies are
13 diminishing."

14 **Q. Overall, how would you compare the plant efficiency for IGCC technology to**
15 **the proposed FPL plant?**

16 A. The "promise" of IGCC technology included much higher efficiencies than PC
17 units. In practice, neither Polk Power Station nor Wabash River Generating
18 Station has met its efficiency goals. It was expected that through process and
19 technology improvement, this next generation of IGCC plants would meet the
20 goal of 40% efficiency. Unfortunately, it does not look like that will happen. Of
21 all of the coal-based IGCC plants being planned, not one has a planned efficiency
22 of over 38%. The highest efficiency values, according to information provided by
23 the power companies in their public documents and especially in their air permit

1 applications, will be ERORA Corporation's planned IGCC plants in Kentucky
2 and Illinois, with efficiencies of 36.8%. These efficiency values are typically
3 provided in the industry at "new and clean" conditions; performance typically
4 degrades over time as equipment ages and wears. Earlier this year, Tampa
5 Electric Company announced that it was planning to build a second IGCC plant at
6 Polk Power Station. Polk Unit #6 will be a 600 MW (net) plant. Its efficiency, as
7 noted in Tampa Electric Company's Ten Year Site Plan submittal, is planned to
8 be only 36.6%.

9
10 FGPP is being designed for an efficiency of 38.8%, which is higher than that for
11 the next generation of large, commercial-scale, coal-based IGCC power plants.

12 **Q. How would you compare the emissions between an IGCC plant and the**
13 **proposed FPL plant?**

14 A. They are very similar for many of the primary pollutants.

15 **Q. How would you compare the reliability between an IGCC plant and the**
16 **proposed FPL plant?**

17 A. FGPP is being designed for an availability of 92%. This is much higher than what
18 the four existing IGCC plants have been able to achieve. As I noted previously,
19 design improvements and the addition of spare equipment are expected to provide
20 for 85-90% availability on the planned IGCC units. It is possible that the
21 availability of IGCC and SCPC could be comparable, but we will not know what
22 IGCC availability will be for another six to eight years.

1 **Q. How would you compare the cost certainty between an IGCC plant and the**
2 **proposed FPL plant?**

3 A. At the present time, the cost of IGCC is not known in anywhere near the detail or
4 accuracy as that of PC units. Since there are hundreds of SCPC units around the
5 world, these costs are much more certain. Once one of the companies planning an
6 IGCC plant actually signs a contract for the purchase and development of its
7 IGCC plant, the industry will have a much better idea of what IGCC will really
8 cost. At this time, the range for IGCC cost is very wide and uncertain. It has also
9 been difficult to obtain guarantees or risk sharing with the IGCC technology
10 suppliers at a reasonable cost.

11 **Q. How would you compare the maturity of the technology between an IGCC**
12 **plant and the proposed FPL plant?**

13 A. USCPC technology is proven worldwide on a large, commercial scale. IGCC is
14 still in development, and is not yet mature. However, in six to eight years, we
15 will have much more experience with IGCC technology once the units being
16 planned actually go into operation.

17 **Q. In your professional opinion, would you recommend the use of IGCC**
18 **technology for this proposed power plant?**

19 A. Based on the requirement for a power generation technology that can provide
20 1,960 MW net in the 2012 through 2014 time period, high efficiency, low cost,
21 high cost certainty, high reliability, and low emissions, I would not recommend
22 IGCC technology for FGPP.

1 **Q. In your professional opinion, in terms of reliability, cost-effectiveness,**
2 **emissions, and commercial availability, do you recommend the technology**
3 **being proposed by FPL for the proposed power plant?**

4 A. Yes. I recommend the use of USCPC technology for FGPP. It meets the
5 requirement for a power generation technology that can provide 1,960 MW net in
6 the 2012 through 2014 time period, high efficiency, low cost, high cost certainty,
7 high reliability, and low emissions.

8 **Q. Please summarize your testimony.**

9 A. After comparing the USCPC technology proposed for use at the FGPP with IGCC
10 technology, I have found that USCPC technology is more technologically mature,
11 more efficient, and higher in availability than IGCC technology. It also provides
12 for a similar environmental emission profile as IGCC technology, and more cost
13 certainty than IGCC. I conclude that the selection of USCPC technology for
14 FGPP would be a prudent decision by FPL.

15 **Q. Does this conclude your direct testimony?**

16 A. Yes. It does.

1 BY MR. ANDERSON:

2 Q. Do you have a summary of your testimony,
3 Mr. Jenkins?

4 A. Yes, I do.

5 Q. Will you please provide your summary at this
6 time?

7 A. Yes, thank you.

8 Good afternoon, Chairman Edgar and
9 Commissioners. My name is Stephen Jenkins, and I'm Vice
10 President of Gasification Services for the engineering
11 firm CH2M Hill. My work deals directly with the
12 permitting and design of integrated gasification
13 combined cycle or IGCC power plants nationwide. When I
14 worked at Tampa Electric Company, I was the deputy
15 project manager for the Polk Power Station IGCC unit,
16 which is one of the two IGCC plants in the United
17 States.

18 My testimony shows that FPL's choice of the
19 ultra-supercritical pulverized coal technology is the
20 first choice for Glades Power Park and is a prudent one.
21 In fact, it's a better choice than IGCC, which is still
22 a developing technology.

23 Some of my main points are as follows: There
24 are only four coal-based IGCC power plants in the entire
25 world. There are over 500 supercritical pulverized coal

1 power plants, with 17 of them being ultra-supercritical,
2 that using the official DOE designation and definition
3 that Mr. Hicks already told you about.

4 Supercritical technology has been in
5 commercial use worldwide for about 50 years, while IGCC
6 has an operating history of only about 12 years.

7 Ultra-supercritical units have been proven in
8 service at sizes over 1,000 megawatts, while IGCC has
9 been demonstrated at only about 250 megawatts in size.
10 Larger units mean lower relative costs and higher
11 efficiency. While there are 600-megawatt IGCC plants
12 now being designed, they won't go into operation and be
13 proven for about another six years.

14 Supercritical units have a higher reliability
15 than IGCC. For example, the Glades Power Park units
16 will be designed for an availability of about 92
17 percent. None of the four coal-based IGCC plants in the
18 world have met their target availability of only
19 85 percent. Now, while we are designing a lot of
20 enhancements into IGCC to improve availability, again,
21 those changes in those units won't go into service for
22 years to come and won't be proven for about six years.

23 Supercritical technology is actually more
24 efficient than IGCC. That's not what we expected in the
25 IGCC industry. Not one of the planned coal-based IGCC

1 power plants that we've been talking about this morning
2 will be as efficient as the units at Glades Power Park,
3 not one of them. Higher efficiency means using less
4 coal to produce the same power, the same kilowatt-hours
5 of electricity. That's what Glades Power Park will do
6 in comparison to IGCC units. Using less coal means
7 lower emissions and less CO₂.

8 We also expected that the capital cost premium
9 for IGCC over the supercritical pulverized coal units
10 would be only about 20 percent. But based on some
11 recent detailed cost estimates and regulatory filings in
12 other states, we now know that number to be closer to 35
13 to 40 percent more for IGCC than for the supercritical
14 pulverized coal. But we really won't know what IGCC
15 costs until one utility is the first to actually
16 purchase and contract for one of the new 600-megawatt
17 units, which will happen late this year, we think.

18 Another issue is CO₂. While some believe that
19 IGCC inherently captures the CO₂ from the process, it
20 does not. It takes a significant amount of very capital
21 intensive equipment to do that. In fact, CO₂ capture is
22 not proven at any scale on IGCC worldwide. However, we
23 do expect that this CO₂ capture technology will become
24 commercially available for both IGCC and supercritical
25 pulverized coal in the future at a similar cost. And

1 that's an important note. That's one more reason why
2 it's prudent to select the ultra-supercritical
3 pulverized coal technology.

4 Overall, ultra-supercritical pulverized coal
5 technology is more commercially proven, higher in
6 efficiency, has a higher availability, and lower in cost
7 than IGCC, and has the capability for CO₂ capture.
8 That's why FPL's selection of the ultra-supercritical
9 pulverized coal technology is the right choice for the
10 Glades Power Park units.

11 Thank you.

12 MR. ANDERSON: Mr. Jenkins is available for
13 cross-examination.

14 CHAIRMAN EDGAR: Okay. Ms. Perdue.

15 MS. PERDUE: No.

16 CHAIRMAN EDGAR: No questions. Thank you.

17 Mr. Beck.

18 MR. BECK: Thank you, Madam Chairman.

19 CROSS-EXAMINATION

20 BY MR. BECK:

21 Q. Good afternoon, Mr. Jenkins.

22 A. Good afternoon.

23 Q. Would you turn to page 26 of your prefiled
24 testimony, please.

25 A. Yes.

1 **Q.** At lines 17 through 18, you state that
2 applying CO₂ capture to a PC plant is presently much
3 more difficult and expensive than for an IGCC plant. Do
4 you see that?

5 **A.** Yes, I do.

6 **Q.** And I think in your summary you just stated
7 that you thought that carbon capture for an
8 ultra-supercritical pulverized coal plant and IGCC would
9 have a similar cost in the future; is that right?

10 **A.** Yes, I did.

11 **Q.** Okay. Were you here during the redirect
12 examination of Mr. Hicks just before yourself?

13 **A.** Oh, yes, I was.

14 **Q.** And did you understand him to say that he
15 thought carbon capture would be cheaper for an
16 ultra-supercritical pulverized coal plant than it would
17 be for an IGCC plant?

18 **A.** Yes.

19 **Q.** What's your understanding of --

20 **A.** If you look at line 18, the fourth word is
21 "presently," and that is based on the research and
22 development that has been done to date on CO₂ capture
23 technologies and very many studies that have been done.
24 As Mr. Hicks explained in some of his answers, there are
25 now more and more research and development projects

1 being done for CO₂ capture on pulverized coal
2 technologies. Obviously, the market for that kind of
3 technology is with pulverized coal, not IGCC. There are
4 only four coal-based IGCC plants in the world. There
5 are hundreds and thousands of pulverized coal plants.
6 That's why the boiler companies are doing so much more
7 research and development to lower the cost and be able
8 to apply this technology to PC technology, while the
9 IGCC industry is doing some additional CO₂ capture R&D.

10 So the point is, the present types of data and
11 studies that have been available have shown that PC
12 would be more expensive. That's why I said presently in
13 there. However, as Mr. Hicks specifically noted, the
14 latest cost estimates and the projections from -- like
15 on the chilled ammonia system will clearly show that
16 overall, the costs for CO₂ capture are going to be
17 fairly equivalent for both technologies. Fortunately,
18 we'll be able to apply the CO₂ capture technology to
19 either one.

20 Q. So do you agree with Mr. Hicks or disagree
21 that pulverized coal will be less expensive for carbon
22 capture than for IGCC?

23 A. It depends on which coal you're using and what
24 -- the size of the units and a few other issues there.

25 Q. Well, how about the Glades plant?

1 **A.** It would be -- PC would be less expensive.

2 **Q.** And why would it be less expensive for the
3 Glades plant as compared to other types of
4 ultra-supercritical pulverized coal plants?

5 **A.** I didn't say that it would be more expensive
6 on others.

7 **Q.** Okay. What's your basis for thinking it would
8 be less?

9 **A.** Oh. Well, for example, there was a recent
10 study done by the Electric Power Research Institute for
11 City Public Service of San Antonio looking at PC and
12 IGCC with and without CO₂ capture. And this is a
13 publicly available report and has been discussed at
14 length in many different fora across the industry and in
15 the regulatory proceedings. It is one of the latest and
16 most up to date studies that shows what the best costs
17 are for PC and IGCC with and without CO₂ capture. The
18 bottom line result of that study shows that when you add
19 CO₂ capture to both PC and IGCC, that the pulverized
20 coal unit was actually less expensive. That is the
21 latest data that is being used and accepted in the
22 industry. And that's a public report, should you like
23 to see that, at EPRI.com.

24 **Q.** Okay. So you think that the economics are
25 going to change, IGCC versus pulverized coal plants, for

1 carbon capture, as I take it. You know, from your
2 testimony, you said it's presently much more difficult
3 and expensive for a PC plant than it is for IGCC; right?

4 **A.** Yes, based on present studies. I mean, nobody
5 is doing this, so we really can't say, "Here's a system,
6 and it's removing CO₂ from a PC plant, and this is the
7 cost." This was based on studies, and now we have,
8 since the EPRI report came out, even better numbers and
9 more up-to-date numbers.

10 **Q.** What's the date of the EPRI report that you're
11 referring to?

12 **A.** It was just a few months ago that EPRI
13 released this. In fact, I was with City Public Service
14 of San Antonio earlier this week going over the report
15 with them.

16 **Q.** Over what time frame do you see the economics
17 change from what you say is presently the economics to
18 what you see it changing to in the future?

19 **A.** Daily. There's so much work being done with
20 so many R&D projects looking at pulverized coal, because
21 as I said, with hundreds of thousands of PC plants
22 around the world, whenever time comes that we have to do
23 CO₂ capture, that's the market. And the boiler
24 manufacturers want to be here in five years, ten years,
25 15 years, so they will find the technology and make it

1 work so that it will be cost-effective.

2 Another example is in the EPRI Journal,
3 Electric Power Research Institute, which does the R&D
4 for the utility industry. In last month's EPRI Journal,
5 they had a very good and detailed article called "The
6 Challenge of Carbon Capture." And one of the specific
7 statements in there was that with the enhancements being
8 made to both IGCC and PC -- and I'm paraphrasing it, and
9 I could get you that article if you would like -- we
10 expect the cost of electricity with CO₂ capture on both
11 IGCC and PC to be the same number. And that is the
12 latest data out.

13 Q. Do you have an opinion on whether at some time
14 during the life of the Glades Power Plant, do you have
15 an opinion on whether they would put in carbon capture
16 or not, or whether that would be --

17 A. I do not.

18 Q. Could you turn to page 27 of your testimony?

19 A. Yes.

20 Q. On lines 8 through 10, you say, "A recent
21 study by the EPA shows that the addition of a CO₂
22 capture system would reduce the output of an IGCC plant
23 by 14 percent and an SCPC plant by 28 percent." Do you
24 see that?

25 A. Yes, I do.

1 **Q.** Okay. What's the date of -- you said a recent
2 study. What's the date of that study?

3 **A.** That, I believe, was the EPA environmental
4 footprints study that was referenced previously when
5 Mr. Hicks was here.

6 **Q.** And do you know about the time frame when that
7 was issued?

8 **A.** That came out in June of 2006.

9 **Q.** Do you see those numbers changing over time,
10 the 14 and 28 percent that you refer to in your
11 testimony?

12 **A.** Yes, I do, fortunately.

13 **Q.** And how do you see that going over time?

14 **A.** What the Department of Energy has recently
15 said is, they want to be able to get CO₂ capture from PC
16 and IGCC to the point where the units, the base units
17 are more efficient, and then when you add the CO₂
18 capture, I think by 2020 was the number, or maybe sooner
19 than that, that the impact on efficiency would be no
20 impact on both IGCC and PC. That's the goal of their
21 CO₂ capture program, so that we won't have these huge
22 impacts that we're seeing right now.

23 MR. BECK: Thank you, Mr. Jenkins. That's all
24 I have.

25 CHAIRMAN EDGAR: Mr. Guest, do you have

1 questions.

2 MR. GUEST: Yes. Thank you, Madam Chair,
3 Madam Chairwoman.

4 CROSS-EXAMINATION

5 BY MR. GUEST:

6 Q. Good afternoon, Mr. Jenkins.

7 A. Good afternoon.

8 Q. In the course of your work at CH2M Hill,
9 you've had the opportunity to do presentations about
10 IGCC plants, have you not?

11 A. Yes, I have.

12 Q. Do you have them with you?

13 A. No, I do not.

14 Q. Well, let me refer you first to a presentation
15 that you made at the Gasification Technology Council
16 workshop on March 14, 2007. Do you remember that?

17 A. Oh, yes, very well.

18 Q. That was just about what? Six weeks ago?

19 A. About that, yes.

20 Q. Five weeks ago?

21 A. Yes.

22 Q. And it was called IGCC 101?

23 A. Yes.

24 Q. Well, I have that sheet. Maybe I'll pass that
25 around with the second page that we turn and use with

1 this.

2 Do you remember saying that it had advantages?

3 **A.** That what had advantages?

4 **Q.** IGCC has advantages.

5 **A.** Yes.

6 **Q.** And what you meant by advantages was
7 advantages over pulverized coal, didn't you?

8 **A.** And other technologies, including pulverized
9 coal.

10 **Q.** And the advantages included that it had a wide
11 range of feedstocks; is that right?

12 **A.** Yes, if specifically designed for them. One
13 unit by itself does not necessarily design for all
14 feedstocks or a wide variety. As Mr. Hicks stated
15 earlier today, just like pulverized coal units, you have
16 to design the IGCC unit for the specific feedstock.

17 **Q.** So you worked on the TECO unit?

18 **A.** Yes, I did.

19 **Q.** And when you say you have to design it for a
20 specific feedstock, does that mean that you would run it
21 only with coal or only with coke, petcoke?

22 **A.** At the time we designed it, our plan was that
23 it was designed only for coal. In fact, we designed it
24 for Pittsburgh No. 8 seam coal from northern West
25 Virginia as the performance coal, along with an Illinois

1 No. 6 coal, because it was slightly higher in sulfur and
2 was available at low cost to Tampa Electric on its river
3 and barge system that would bring the coal to the
4 station. So there were really two, one design coal and
5 one performance coal.

6 Q. Well, but that plant runs 60 percent petcoke.

7 A. When the petcoke as an opportunity fuel is
8 lower in cost than coal, Tampa Electric does use it.
9 There are other costs, environmental and technical
10 issues that come along with petcoke, such that there are
11 times when Tampa Electric does not use 60 percent
12 petcoke, and particularly because it was neither
13 designed or permitted to use petcoke.

14 Q. Now, turning to the cost issue, you're aware,
15 are you not, that FPL has submitted in this proceeding
16 cost projections on petcoke versus coal?

17 A. I have heard that, yes.

18 Q. And the TECO plant can use 100 percent coal?

19 A. It was designed to use 100 percent coal.

20 Q. Or 100 percent petcoke?

21 A. It was not designed to use 100 percent
22 petcoke.

23 Q. Can it? Can it use 100 percent petcoke?

24 A. I do not know that it can. It was not
25 designed to do so. And as I noted, since the

1 environmental permits do not allow for 100 percent
2 petcoke, the design of the gasification system does not
3 allow for 100 percent petcoke. And the sulfur removal
4 system that allows them to meet their environmental
5 permitting conditions does not allow for 100 percent
6 petcoke.

7 Q. So it runs a maximum of 60 percent?

8 A. I know that it has run before at 60 percent.
9 I'm not sure what the maximum number is.

10 Q. So it could run at 60 percent, 50 percent, 40,
11 30, 20, 10, or zero?

12 A. It has done different blends of petcoke with
13 different coals. And the reason that they do that is
14 again for cost purposes. But there are times -- because
15 of the nature of the gasifier design, you just don't put
16 any blend in there. You have to blend the petcoke with
17 a coal that will still end up with a sulfur content that
18 will meet their environmental permits, ash
19 characteristics that will work right in the gasifier,
20 and many other issues that go along with the basic
21 design. And that's because the plant was not designed
22 to use petcoke. Every time they want to change a blend,
23 they do testing. They have a computer simulation that
24 shows what that blend will look like, and then they do a
25 small test feedstock use of that before they go into any

1 major change.

2 Q. Okay. Turning now to your testimony a moment
3 ago that carbon dioxide capture was not actually proven
4 on any scale.

5 A. On IGCC. That's what I said in my summary,
6 that's correct.

7 Q. Okay. And I'm working out of your PowerPoint
8 presentation of five weeks ago.

9 A. Yes.

10 Q. And I want to ask you, did you have anything
11 in your PowerPoint presentation about an IGCC plant that
12 had -- a plant that had captured carbon dioxide?

13 A. No, I did not.

14 Q. How about a gasification plant?

15 A. Yes, there is a gasification plant, but there
16 are no IGCC plants that do any capture of CO₂. That's a
17 big distinction. A gasification is a small part of an
18 overall IGCC plant. Gasification plants are typically
19 used to make chemicals, natural gas. Kodak film is made
20 from syngas. But they don't make power. IGCC is when
21 you match and integrate the gasification process from
22 the chemical industry with a combined cycle power plant
23 from the power industry, and you do all the engineering
24 to make them work together for power generation. That's
25 a big difference.

1 **Q.** Well, you included a description of a plant
2 like this as the sixteenth page of what you described as
3 IGCC 101.

4 **A.** Yes, I did. And the reason I did that, again,
5 is that I am often asked to do this IGCC 101. In fact,
6 prior to doing that workshop, I was asked by Chairman
7 Binz of the Colorado Public Utilities Commission to give
8 them my IGCC presentation so that they could better
9 understand what IGCC is, particularly because Excel
10 Energy, the local utility in Denver, has proposed an
11 IGCC unit. And they found out that I was going to be in
12 town, and Chairman Binz's assistant called me and said,
13 "Would you be willing to come over in the afternoon and
14 give the three Commissioners your IGCC 101 that we've
15 heard so much about." And I did that. And then at the
16 workshop, since it was also in Denver, the one that
17 Mr. Guest is talking about, all three Commissioners came
18 back and brought their staff to hear it again.

19 Now, the reason I discuss that plant, that
20 gasification plant, is so people have a good
21 understanding that an IGCC plant is made up of a
22 gasification plant and a combined cycle plant. So
23 whatever slide number that was, that was the piece of
24 what a gasification plant is, looks like, and does.
25 Then I talk about what combined cycle power generation

1 is, and then I talk about how you put them all together
2 and about how important that "I" of integrated
3 gasification combined cycle is that keeps engineers like
4 me up at night trying to figure out how to make them
5 work better. That was the reason for including that
6 specific plant.

7 Q. Well, when you talked about that plant, it had
8 another feature of interest besides that it was
9 gasification, didn't it, the plant at Dakota?

10 A. Yes. It makes synthetic natural gas from
11 coal.

12 Q. What else does it do that's of interest to
13 IGCC?

14 A. What?

15 Q. Does it have any other feature that's of
16 interest to IGCC?

17 A. I'm not sure what you're getting at.

18 Q. Well, that plant that you have on the
19 sixteenth page of your IGCC 101 presentation from five
20 weeks ago also says that it captures carbon dioxide,
21 doesn't it?

22 A. Yes, it does. It captures a part of the
23 carbon dioxide that's produced. When you gasify coal
24 and turn it into synthetic natural gas -- and that plant
25 does that, and they put it into the local pipeline, a

1 good part of the carbon that was in the coal is
2 converted to carbon dioxide. They used to just vent it,
3 because that was the thing to do. I mean, that was part
4 of the original design and the process back in 1978.

5 What they've done since then, and it is an
6 interesting aspect of that plant, about 200 miles away
7 from this plant -- and this plant is in Beulah, North
8 Dakota, which is a great place to be in the summer, but
9 not in the winter, I found out. EnCana and Apache
10 Canada have oil fields in southern Saskatchewan. They
11 have found that those plants -- the oil production rate
12 has fallen off considerably, and they have learned
13 through a lot of R&D that if you use pressurized carbon
14 dioxide and you put it down several thousand feet, it
15 mixes with the oil and can help you get more oil out.

16 So they did a deal with Great Plains and
17 Dakota Gasification that operates the plant. And what
18 they did is, they paid Great Plains to install a more
19 enhanced CO₂ removal system, three huge
20 20,000-horsepower compressors, and they compress the CO₂
21 that they get, not all of it, but a part of it -- the
22 rest is still vented -- and they pipe that 205 miles to
23 these wells in Saskatchewan, and it helps EnCana to get
24 a little bit more oil out of those fields. And someday
25 they will tail off again. That's the term that we

1 talked about called enhanced oil recovery, and that is a
2 potential use for CO₂. That's what happens there.

3 Q. So at that gasification plant, they're able to
4 sequester some CO₂?

5 A. That's not correct.

6 Q. Well, how do they -- I'm sorry. How do they
7 get the CO₂ sequestered if they don't sequester it?

8 A. The intent of enhanced oil recovery is not to
9 sequester the CO₂. There you want to use as little CO₂
10 as possible, because they are paying for it.

11 Q. I'm sorry. I garbled the question is what
12 happened there. What I meant to ask instead of what I
13 did ask was that they had succeeded here at the Dakota
14 plant in capturing CO₂ and then putting it to use to
15 enhance oil recovery 200 miles away. That was my only
16 question.

17 A. Yes, because they're being paid a lot of money
18 to do it.

19 Q. Okay. And then we have the Coffeyville
20 Resources plant that you also included in your IGCC 101.

21 A. Yes, I did.

22 Q. Could you explain that for us, please?

23 A. Which part of it?

24 Q. Well, it operates on petcoke.

25 A. Yes, it does.

1 Q. And it produces syngas?

2 A. Yes.

3 Q. And it removes carbon dioxide?

4 A. A portion of the carbon dioxide. And they do
5 that for a very good reason. They are paid to do it.
6 They remove a little over 50 percent of the carbon
7 dioxide from that process. The Coffeyville Resources
8 plant takes petcoke, and they gasify it. And the reason
9 they do that is because they are a fertilizer plant, and
10 to make fertilizer, you need ammonia. The only way to
11 make ammonia is from hydrogen. The only way to make
12 hydrogen has been from using natural gas.

13 When natural gas prices went up significantly,
14 as we have all seen, their cost of making hydrogen and
15 ammonia made them uneconomic, so they installed this
16 petcoke gasification plant. They make the hydrogen from
17 the syngas. It is a mixture of carbon monoxide and
18 hydrogen. And now they are very economic.

19 As part of that, they also make a product
20 called urea, which is used in making fertilizer. And
21 urea has a couple of carbon dioxide molecules in there
22 as part of the urea, and you do that by reacting ammonia
23 with carbon dioxide. And I hate to get into the
24 chemical reactions.

25 But to them, they are paid a lot of money in

1 the market for the urea, so it is economically an
2 advantage for them to capture as much CO₂ as they can.
3 They react it with the ammonia, and they make urea, and
4 they sell it for a lot of money because they are so
5 economic now at that Coffeyville Resources plant. But
6 they don't capture all the CO₂, and the part that they
7 do capture, it's only because they get paid to do it, a
8 lot.

9 Q. And actually, the part that they capture is
10 vented; is that right?

11 A. The part that they do not capture is vented,
12 just like it was years ago.

13 Q. Now, I think that the point of this
14 presentation up until now was to show that the
15 gasification component of an IGCC plant is really a
16 chemical plant process as contrasted to burning coal and
17 heating a boiler like you do in an old steam locomotive.
18 Isn't that the point of that part of your presentation?

19 A. Yes. That part of the presentation was to
20 explain to people what the gasification portion of an
21 IGCC plant is, and the best way to do that, I have
22 found, is to show people what gasification is.

23 Q. Right. And so there really is a huge
24 difference here, in that an IGCC plant is really a
25 chemical plant that produces a gas that drives a turbine

1 and then captures the heat after the turbine. Isn't
2 that really what's going on here?

3 **A.** That's why we had so many chemical engineers
4 working on Polk Power Station.

5 **Q.** Right.

6 **A.** Because this is a chemical process.

7 **Q.** Yes. It's a chemical plant that produces a
8 gas that you burn in a turbine.

9 **A.** Yes.

10 **Q.** Isn't that the concept?

11 **A.** Yes, gasification plus combined cycle,
12 integrate them, IGCC.

13 **Q.** All right. And there are a lot of chemical
14 gasification plants out there?

15 **A.** Yes.

16 **Q.** 117?

17 **A.** Yes, 117 plants, just under 400 gasifiers
18 around the world, but only four coal-based IGCC plants.
19 And that's a big difference.

20 **Q.** Okay. We'll deal with these things one at a
21 time. So the gasification component, that's no
22 surprise. That's not a new technology, and it's in wide
23 use around the world?

24 **A.** Gasification is in wide use around the world,
25 yes.

1 **Q.** And they gasify coal, petcoke, refinery
2 wastes, and a wide variety of other things?

3 **A.** Yes. Most use refinery wastes, asphalts,
4 tars, things like that, because they have been sited at
5 adjacent refineries for the purpose of using the
6 refinery wastes and gasifying them and making hydrogen
7 for use in the refinery.

8 **Q.** You had in your presentation five weeks ago a
9 list of the benefits of IGCC.

10 **A.** Yes, the potential benefits of IGCC are part
11 of that IGCC 101.

12 **Q.** And it lists benefit of IGCC, and the first
13 item that you listed -- well, wait a minute. Just to be
14 clear, you didn't say potential. Your presentation says
15 benefits. It doesn't say potential benefits.

16 **A.** Well, what I said at that -- that's what the
17 presentation says.

18 **Q.** Okay. That's your words, but not the
19 PowerPoint.

20 **A.** Sometimes I put the word "potential" in there.
21 You know, it's just when I do the presentation. It just
22 depends. I don't say exactly the same thing every time
23 on that presentation. I've given that probably 30 times
24 to different groups, different commissions, different
25 environmental agencies in Florida, Texas, Colorado.

1 Q. So the first advantage that you listed in your
2 PowerPoint from five weeks ago was that you could take
3 advantage of low cost coal or petcoke?

4 A. If so designed for it, and I explain that when
5 I get to that slide.

6 Q. And then you say that coal costs -- or you say
7 coal at \$2 per million Btu, petcoke at half that.

8 A. As an example.

9 Q. And that corresponds with the exhibit that's
10 in this case about the estimated future costs of petcoke
11 versus Appalachian coal.

12 A. I have not looked at that.

13 Q. Another advantage of IGCC that you had in your
14 PowerPoint was that it took advantage of high efficiency
15 of combined cycle power block. What does that mean?

16 A. The combined cycle power plant is an efficient
17 way of using natural gas to make electricity. And when
18 you use syngas in the integrated gasification combined
19 cycle mode, you're taking advantage of the combined
20 cycle power plant. That's what it means, just like you
21 would take advantage of a high efficiency boiler and
22 mating that with a high efficiency steam turbine
23 generator.

24 Q. And the then third item was that you say
25 environmental profile, under benefits, air emissions,

1 liquid discharges, and solid by-products.

2 A. Yes.

3 Q. So the environmental -- the benefit of IGCC,
4 one of the three listed here, does that mean lower air
5 emissions?

6 A. In some cases, yes, in some cases, no.

7 Q. And then the liquid discharge advantage,
8 what's that?

9 A. IGCC plants can be, but are not always --
10 well, we only have four to go by right now, and some
11 have this, and some don't, where instead of having a
12 liquid discharge, it goes through like a distillation
13 system, and you end up with a solid cake, and that
14 allows you to recycle as much water as you can back into
15 the system, the same way that you do with the gypsum
16 from a flue gas desulfurization system in a
17 supercritical pulverized coal unit. It comes out as a
18 slurry, you put it through vacuum filters, and you have
19 this solid cake gypsum which, as Mr. Hicks talked about,
20 you can sell for making wallboard and cement, and all
21 that water goes back into the process. It's just a
22 method of being smarter with water use.

23 Q. Okay. Use less water? Is that it?

24 A. Yes, it use less water, discharges less.

25 Q. Okay. And then another piece of the

1 environmental profile that's an advantage is solid
2 by-products.

3 **A.** Yes.

4 **Q.** Does that mean that you can sell -- if you do
5 it right, you could sell the -- instead of discharging
6 sulfur dioxide into the air or capturing it in a
7 scrubber, that you actually can turn it into powdered
8 sulfur and sell it? Is that the concept?

9 **A.** It depends on your local market. Some units
10 may make -- actually, you make a molten sulfur, not a
11 powdered sulfur, and that is a commodity, a chemical,
12 and can be used in different processes, or like we did
13 at Polk Power station, the sulfur was recovered as
14 sulfuric acid. That is one -- actually, that's not what
15 I meant by solid by-products. What I meant by solid
16 by-products was the slag.

17 **Q.** Well, I'm glad you told us about the sulfur.
18 Let me ask you a follow-up quick question about the
19 sulfur. When I see that -- when I'm out on Gaines
20 Street and I see that rail car go by that says sulfur on
21 it, is that what's in it? It's liquid sulfur?

22 **A.** I've not seen that tank car.

23 **Q.** But do you see tank cars with liquid sulfur
24 going by on railways? Is that --

25 **A.** I try not to hang out in those places. I

1 don't know.

2 Q. There's something about the sulfur you don't
3 like?

4 A. No, it's a good chemical, but I just -- I've
5 not been at a rail crossing at the time to see a tank
6 car come by.

7 Q. All right. Returning to your point, which was
8 the solid by-product to which you were referring, that
9 was -- I think you said slag. Is that what it was?

10 A. Yes, yes.

11 Q. Can you give us a mouthful of what slag is?

12 A. Yes. The ash that is inherently and naturally
13 in the coal, whether it's being used in a gasifier or in
14 a pulverized coal unit, because of the high
15 temperatures, it typically -- that ash melts, and it's
16 molten. It falls into a water bath, it is
17 quench-cooled, and it turns into a black, glassy
18 material that the industry calls slag. It's crushed,
19 it's pumped out, it's screened, and if it meets certain
20 properties, it can be used for things like making
21 cement, making sand blasting grit, roofing tiles -- when
22 you see the shingles that have that gritty stuff, that's
23 typically boiler slag -- and other types of uses. And
24 you do with either PC units -- pulverized coal units or
25 gasifiers make almost the same identical slag.

1 **Q.** Oh, it looks the same?

2 **A.** Not only does it look the same, but it has the
3 same chemical characteristics.

4 **Q.** Okay. All right. Also in your PowerPoint,
5 you had some illustrations of four coal-based IGCC
6 plants.

7 **A.** Yes.

8 **Q.** Nuon in the Netherlands, which runs on coal
9 and biomass?

10 **A.** Well, it's actually chicken litter. It's not
11 what I would call biomass, but it has its own inherent
12 issues, being chicken litter.

13 **Q.** What fraction of chicken litter do you run in
14 this plant?

15 **A.** In Nuon?

16 **Q.** Yes.

17 **A.** I can't remember what the number was. The
18 Netherlands government paid them to have -- Nuon to add
19 in a special feeding system, because as you can imagine,
20 feeding coal is very different from feeding chicken
21 litter, so to do that, they had to modify their system,
22 which again is the issue of if you haven't designed for
23 it up front, you may have to make some very big changes
24 later.

25 **Q.** Okay. So we --

1 **A.** That's the reality of using chicken litter.

2 **Q.** Then you also talk about the Wabash River one
3 in Indiana.

4 **A.** Yes.

5 **Q.** And that runs on coal and coke. Do you mean
6 -- by coke, do you mean petcoke?

7 **A.** Petroleum coke, petcoke, yes.

8 **Q.** And then you've got the TECO one, which I
9 think you've talked about already, at Mulberry. That's
10 petcoke and coal.

11 **A.** At times.

12 **Q.** And then you also have -- do you know how to
13 pronounce that place in Spain?

14 **A.** Puertollano, P-u-e-r-t-o, like Puerto Rico,
15 Puerto, with then l-l-a-n-o, Puertollano.

16 **Q.** Puertollano. And that's coal and coke, coal
17 and coke, petcoke?

18 **A.** Yes, it is. It depends again for them on cost
19 too. It was not designed for petcoke. It was designed
20 for coal.

21 **Q.** And then we also have one in the Czech
22 Republic?

23 **A.** Yes. That's not exactly an IGCC unit. That
24 was put in to make what the industry calls town gas,
25 where you gasify coal and you pipe it around. That's

1 what we used to see before there were natural gas
2 pipelines. People all over the world made town gas, and
3 that's what lit the old street lamps when you see the
4 old movies in England. There was no natural gas
5 distribution line that went to that street lamp. It was
6 town gas that was made locally. And they converted
7 those units several years ago to make a little bit more
8 of that town gas, and when it's not being used for
9 heating, cooking, and lighting in the small Czech town,
10 they burn it in some combustion turbines, but it is not
11 an IGCC unit.

12 Q. I see. Are there two in China? Am I right
13 that there's two in China that have just come on?

14 A. I think those are proposed IGCC plants. They
15 are not in operation. There are many gasification
16 plants in China, but not IGCC.

17 Q. Do you know the one at Yankuang?

18 A. I don't know that one. I have read about it
19 and some of its plans.

20 Q. It makes methanol too, besides power?

21 A. Yes, that is one of the ones in the world that
22 is used for making chemicals, not electricity, as a
23 primary product. They actually use steam produced from
24 the methanol process to drive a steam turbine, not
25 syngas from the gasifier to drive gas turbines. It is

1 not an IGCC unit. It is a chemical plant. They only
2 use the waste heat to make power. As I noted, there are
3 only four coal-based IGCC plants in the world.

4 Q. But there's one proposed for Polk County?

5 A. There are only four today. I go back to that
6 word "presently."

7 Q. Okay. Right now?

8 A. Right now.

9 Q. And how many are proposed?

10 A. There have been so many proposed, and it
11 changes every day. I actually do some work for the
12 Gasification Technologies Council and EPRI in trying to
13 keep track of all the ones that are proposed, and every
14 day we add one, and every day we take one off, because
15 for whatever financial reasons or whatever, they go
16 away. I --

17 Q. Which one did you take off yesterday?

18 A. It was a confidential project that our firm
19 was working on.

20 Q. Okay. Which one did you add yesterday?

21 A. There was one announced in the -- I believe it
22 was in the Netherlands. It was for actually more
23 gasification than IGCC, using Shell technology.

24 Q. Can you give me the name of an IGCC plant that
25 was first proposed last week?

1 **A.** Yes. Well, TXU named two potential sites for
2 putting in IGCC about a week ago. They didn't give it a
3 name. They don't have a technology. They haven't
4 selected what kind of coal it is. But sometimes that's
5 all that proposed means, somebody has mentioned it, and
6 they haven't done any engineering at all.

7 **Q.** Okay. While we look around at that issue, I
8 would just like to just touch base on a few things about
9 the TECO Mulberry plant. I've got a photograph of that
10 I would like to distribute, which will be Exhibit Number
11 180, 179.

12 CHAIRMAN EDGAR: 179.

13 MR. GUEST: 179.

14 CHAIRMAN EDGAR: Photo, TECO Polk Power
15 Station?

16 MR. GUEST: Yes. Thank you. Well, IGCC power
17 station. Whatever. I'm sorry. I shouldn't do this.

18 (Exhibit 179 marked for identification.)

19 BY MR. GUEST:

20 **Q.** Okay. Can you describe where the stack that
21 the exhaust gases come out of -- where is this? Is that
22 that black thing in the foreground?

23 **A.** No. In the foreground is the syngas flare.
24 That is part of the chemical process. When you start up
25 and shut down, that flares.

1 **Q.** Then there's a little thing that's got some
2 steam coming out of it in the sort of center left.

3 **A.** Yes. That's part of the sulfuric acid plant
4 and auxiliary boiler.

5 **Q.** They use the sulfuric acid at this plant to
6 sell to the phosphate -- fertilizer companies to process
7 the phosphate?

8 **A.** At times. It depend on the price. At other
9 times they sell it to municipalities for use in water
10 treatment.

11 **Q.** Okay. So which one of these stacks is the
12 sort of smokestack here?

13 **A.** What do you mean by smokestack?

14 **Q.** Well, where the emissions that we all are
15 concerned about come out of.

16 **A.** Most of the emissions would come from the
17 heat -- outside of the heat recovery steam generator,
18 the stack which is -- I think it's about 80 or 120 feet
19 tall. It's on the upper left side of the picture. But
20 there's a -- you can see a little stack that kind of has
21 a twisty thing on the top of it. That's the stack from
22 the sulfuric acid plant. Just to the right of that in
23 the background is the actual stack from the combined
24 cycle plant.

25 **Q.** This plant appears to be in operation?

1 **A.** It looks to me -- and I think I was in the
2 helicopter when we took this picture, and we were
3 allowed to do that because the plant was not in
4 operation. This reminds me. Because the auxiliary
5 boiler is being fired, you can see where the steam is
6 coming out. It's releasing steam from the aux. boiler
7 during a startup. And as I recall, we took this picture
8 because the plant was not in operation.

9 **Q.** Okay. Now, another piece from your PowerPoint
10 presentation of five weeks ago was called the Status of
11 Commercial IGCC.

12 **A.** Yes.

13 **Q.** And you said that there's a new fleet taking
14 advantage of 10-plus years of operation in the U.S. and
15 Europe. When you were referring to fleet, were you
16 talking about a new fleet of IGCC plants?

17 **A.** Yes, the ones that will be going into service
18 in the 2012-2014 time frame.

19 **Q.** And then another part of the status of
20 commercial IGCC was that there was a range of suppliers
21 to choose from for a wide variety of coals and other
22 feedstocks.

23 **A.** Yes, that's what that says.

24 **Q.** Is this a guarded reference to your chicken
25 litter in the Netherlands and all those other exotic

1 fuels? Is that what this means?

2 **A.** Oh, meaning all the lessons learned over the
3 last 10 to 12 years at these four coal-based IGCC plants
4 have given us the basis of design for this new fleet of
5 600-megawatt units, things that we hope will be able to
6 prove higher availability, higher efficiency, things
7 like that.

8 But their design points, we don't know whether
9 or not they will actually work like that. You know, we
10 design for these things. And the plan is that when
11 these units go into service, after a couple of years,
12 these enhancements and lessons learned will pay off, and
13 we'll actually get -- hopefully, that IGCC will finally
14 be as efficient as supercritical pulverized coal, might
15 or might not have the same availability as supercritical
16 pulverized coal.

17 But these are -- we've got -- at Wabash River,
18 they advertise we have 1,600 lessons learned over the
19 last 12 years, and we want to put those into our
20 designs. And that's the kind of thing that I do when I
21 design IGCC plants to try and make them better. That's
22 my job.

23 **Q.** All right. Let's stay on that point. You
24 said there's a range of suppliers to choose from, for a
25 wide variety of coals and other feedstocks. Does that

1 mean supplies -- a wide range of fuel supplies that can
2 be used? Is that what you meant by that?

3 **A.** There are more -- it used to be that there was
4 only one or two gasification technologies that would
5 work on Powder River Basin coal or lignite, and now
6 there are a few more technology suppliers that are
7 available, like Mitsubishi Heavy Industries, possibly
8 like the KBR technology that Orlando Utilities will be
9 demonstrating at the Stanton B plant that Mr. Hicks
10 talked about previously if that works on Powder River
11 Basin coal. And again, they're going to be bringing in
12 coal from Wyoming all the way to Orlando to test this
13 technology. If it works, it will allow people out West
14 one more option for being able to use Western coals.
15 That would be a good thing. Having more competition
16 would be good.

17 **Q.** Now, what did you say the letters EPC stand
18 for?

19 **A.** Engineer, procure, construct. When you get a
20 contract with an EPC supplier, as we do with
21 ultra-supercritical pulverized coal units, a one-person
22 point of contact that you go to, you contract with them,
23 they do the engineering, they buy the stuff, they
24 construct it, and they turn it over to you with
25 guarantees. And I say that with ultra-supercritical

1 pulverized coal units. Unfortunately, we have not yet
2 been able to get that in the utility industry for IGCC.

3 Q. Well, then why did you write down as the third
4 advantage in the commercial status of IGCC that EPC
5 alliances can provide important guarantees?

6 A. Because that is a potential, what we're trying
7 to get to in the IGCC industry. You see, when you buy
8 an ultra-supercritical pulverized coal unit, the utility
9 benefits from being able to get that contract so that
10 things are date certain, performance, efficiency. We
11 want to be able to get that. And if Florida Power &
12 Light were to build an IGCC plant, they would want that
13 same kind of guarantee.

14 But as we found out with Duke Indiana, when
15 they filed with the Indiana Utility Regulatory
16 Commission on April 2nd, they said for that project,
17 EPC, a lump sum turn-key, meaning an EPC contract, is
18 not a viable option for them, because it was going to be
19 too costly, and they were unable to get those kind of
20 guarantees. It is something that we are working for in
21 the IGCC industry so that utilities can have something
22 more certain, schedule, cost, performance.

23 Q. Okay. I'm actually giving you this piece of
24 your PowerPoint presentation, page 46, from five weeks
25 ago. And I would like that marked if I might. Would it

1 be 181, Madam Chairman?

2 CHAIRMAN EDGAR: Yes, 181.

3 BY MR. GUEST:

4 Q. So I would refer you to the third dot -- is
5 that what you call that thing?

6 A. Yes. It's my third point on that, which says,
7 "EPC alliances can provide important guarantees." And
8 we sure hope they will be able to do that.

9 Q. Well, but you didn't say might. You didn't
10 say, you know, maybe can, may be possible in the future.
11 You said alliances can provide important guarantees.

12 A. Well, to me, when I said can, meaning the
13 potential to do. And it is their intent to do so, but
14 none of them to date have done that. In fact,
15 specifically, on the Duke Indiana case, they were not
16 able to get an EPC guarantee from the GE-Bechtel
17 alliance.

18 Q. So what you wrote in your PowerPoint was that
19 they can provide important guarantees, but what you
20 actually meant was that it might be possible at some
21 time in the future to get those potentially, but maybe
22 not?

23 A. Well, we certainly would like them to do that,
24 but so far they have not done that. We will find out a
25 little bit later this year when AEP goes a little

1 further and when the Mesaba project goes further if they
2 will be able to get these important guarantees from
3 their EPC supplier. Without that, there's a lot of
4 technical and economic risk for the utility.

5 Q. So now, we have -- you talked about there not
6 being any technology for IGCC with carbon capture.

7 A. That's correct.

8 Q. And I'm turning to page 48 of your PowerPoint,
9 and I see that you've listed three IGCC projects with
10 carbon capture.

11 A. Those are three proposed IGCC plants that will
12 not be in service until probably 2012 to 2013 that have
13 said they intend to find a way to incorporate CO₂
14 capture into their projects. They have not yet found a
15 way to do that, the technology to do so, or the use of
16 the CO₂. I have worked on two of those three projects
17 and am very familiar with them.

18 Q. So I take it they're using the Selexol
19 approach to carbon capture?

20 A. They have done so little engineering that
21 they're not even to the point that they have or have not
22 selected the Selexol process, which can be -- if beefed
23 up, can capture some of the CO₂, but they have not made
24 that statement or choice yet.

25 Q. And then I'm turning to page 52 of your

1 PowerPoint from five weeks ago --

2 CHAIRMAN EDGAR: Mr. Guest, let me interrupt.
3 I apologize. I misspoke. I mislabeled the document, so
4 before I forget to do that, which does mean we're going
5 to take a break in a few minutes, because when I start
6 mislabeling, that means we need a pause. So to correct
7 my misstatement, the photo is Exhibit 179, and the
8 slide, Status of Commercial IGCC, page 48, will be
9 Number 180. And I apologize for the interruption.

10 MR. GUEST: Thank you.

11 (Exhibit 180 marked for identification.)

12 BY MR. GUEST:

13 Q. Okay. You had a slide about IGCC availability
14 improvements.

15 MR. ANDERSON: Chairman Edgar, there are a lot
16 of questions on this presentation. Has counsel given
17 the witness a copy of this presentation to follow along?

18 MR. GUEST: If you would like to, I would be
19 happy to.

20 MR. ANDERSON: Just a courtesy, I think that
21 might be useful.

22 MR. GUEST: Sure. I assumed that he knew it
23 pretty well.

24 THE WITNESS: Yes, I do.

25 MR. GUEST: Since he said he gave it all the

1 time.

2 CHAIRMAN EDGAR: Numerous times I think I
3 heard.

4 THE WITNESS: Yes.

5 CHAIRMAN EDGAR: Let's do that. And again, I
6 need to stretch and clear my head, so let's take about
7 15 minutes, and in the course of that. Thank you.

8 (Short recess.)

9 CHAIRMAN EDGAR: Okay. We will go back on the
10 record.

11 MR. GUEST: I'm sorry.

12 CHAIRMAN EDGAR: That's okay. Mr. Guest,
13 you're up.

14 BY MR. GUEST:

15 Q. Hi. We're back. We've given you all the
16 sheets, which I think you're extraordinary familiar
17 with.

18 A. Yes. I guess that's not all of my
19 presentation, but it's some of it.

20 Q. Yes. These are the ones that we're interested
21 in.

22 A. Okay.

23 Q. So we're on page 52.

24 A. Mine ends at 48, but I probably know what's on
25 page 52.

1 There we go.

2 **Q.** And this page is entitled "IGCC Availability
3 Improvements."

4 **A.** Yes.

5 **Q.** Now, when you say availability, are you
6 referring to the availability in the sense of the
7 fraction of the time that the plant is online? Is that
8 what you --

9 **A.** Yes. As you asked the same question to
10 Mr. Hicks, my answer would be the same in percentage of
11 the time. And this particularly is for the entire IGCC
12 plant, when it's in IGCC mode, not when you're firing
13 the backup fuel. That's availability of IGCC.

14 **Q.** Okay. I'm glad you raised that, because
15 that's one thing I wanted to get explained. Now, am I
16 right that at the TECO plant that when you say backup
17 fuel, they've got a natural gas line that runs up to the
18 turbine?

19 **A.** No, they don't.

20 **Q.** They don't? Are there ones that do have --
21 well, what is the backup fuel? Let's go straight to the
22 issue.

23 **A.** Where?

24 **Q.** At any IGCC plant.

25 **A.** Well, there are four of them, so one of them

1 uses fuel oil and three of them use natural gas.

2 Q. Okay. All right. Let's just use the natural
3 gas one to make life simple.

4 A. Okay.

5 Q. Which one would you like to talk about?

6 A. I don't have a preference.

7 Q. Okay. Well, let's just use fuel oil because
8 it's easier. So the concept is that -- the way the
9 combined cycle part works is that you have a turbine,
10 which is essentially like a jet engine on a DC-10;
11 right?

12 A. Yes.

13 Q. Okay. And what you do is, you get the syngas
14 that comes out of the gasification part of the plant.
15 That goes in there and makes that turbine spin like
16 crazy and gets some kinetic energy that you get to drive
17 a generator.

18 A. Yes.

19 Q. And when the gasification system is down for
20 maintenance or whatever reason, you can put some diesel
21 into that thing and make your jet engine spin around the
22 same way.

23 A. Yes, at Polk Power Station.

24 Q. Right. And so it costs more.

25 A. I'm sorry?

1 **Q.** Does it cost more to run the backup?

2 **A.** Oh, yes.

3 **Q.** It's like driving a peaking unit at a power
4 plant.

5 **A.** Yes, and even worse if you're using natural
6 gas, because we know what the price of natural gas is
7 now. If you were to use that backup fuel, the cost of
8 electricity when you go to backup fuel is -- you know,
9 if your coal is \$2 a million Btus and your gas is 8,
10 you're increasing your cost of fuel by four times. And
11 you may not even run the unit like that because of the
12 cost of fuel. You're not going to dispatch a unit, go
13 from base load at \$2 a million Btus, if that happens to
14 be the cost of your coal, to \$8 a million Btus on gas.

15 **Q.** So you can really increase avail -- when you
16 talk about availability, are you including or excluding
17 the availability to backup using diesel or natural gas?

18 **A.** Exclude. That's called --

19 **Q.** Exclude?

20 **A.** Yes. IGCC availability is when it's in IGCC
21 mode, not when you take the gasification plant down.

22 **Q.** Okay. Now that I understand that, this piece
23 of your PowerPoint, page 52, is IGCC availability and
24 improvements, and you have -- the first bullet is
25 lessons learned from 10-plus years of experience.

1 **A.** Yes.

2 **Q.** And one is, you've got materials of
3 construction.

4 **A.** Yes. We've learned a lot about materials of
5 construction over the last 10 to 12 years, and we're
6 putting those design changes into this new fleet that we
7 talked about, and hopefully that will provide better
8 service.

9 **Q.** Why do you call them a fleet if they sit
10 still? I mean, is there some --

11 **A.** Well, it's like a fleet of ships, a fleet of
12 trucks. Well, okay. Everything is moving.

13 **Q.** All those things move.

14 **A.** It's a fleet of power plant units. It's just
15 an industry term.

16 **Q.** Okay.

17 **A.** But they do not move, and if they do, there's
18 a big problem.

19 **Q.** All right. Just checking.

20 What have you learned. Can you give us one
21 example of improved materials of construction?

22 **A.** Yes. In the black water system -- and I know
23 this kind of sounds technical, but in the GE
24 gasification system, when you use coal and you gasify
25 it, there is naturally some chlorine in the coal,

1 particularly if the coal is from Illinois. The chlorine
2 in the coal during the gasification process turns to
3 chlorides, calcium chloride, ammonium chloride. It gets
4 into the water. And chlorides past a certain
5 concentration become corrosive, as when you have sea
6 water and metals on a house that sits on the shore, all
7 of a sudden you see corrosion. Chlorides do that.

8 So what we have learned is that the --
9 particularly at Polk Power Station, and at Wabash River
10 -- they don't have a black water system, but in that
11 same kind of a system, the materials of construction
12 needed higher quality, different alloys to be more
13 corrosion-resistant. And those are the kind of things
14 that we've learned. In this kind of system, carbon
15 steel is going to corrode. Don't use that. Use
16 something better, more expensive.

17 **Q.** And another illustration might be that at the
18 turn where the -- well, I'm not going to use another
19 illustration because this is so technical.

20 **A.** There's just many things we've learned on
21 materials of construction that will provide for and
22 should provide for better and higher availability in the
23 future. Those are the things that are going into this
24 new number of --

25 **Q.** Okay. And then another item is spare

1 equipment.

2 **A.** Yes.

3 **Q.** Can you give us a couple of -- one or two
4 illustrations of spare equipment?

5 **A.** Just certain pumps that we found where one was
6 not good enough, sometimes we'll put in two pumps on
7 critical system where we found that that will increase
8 the availability. One of the possible changes is in the
9 main slurry pump. They're about a million dollars, so
10 it's not something you say, "Well, let's go out and
11 spend another million dollars for this new pump." But
12 if it increases the availability of the unit to a point
13 where it's cost-effective, those are the things that you
14 do.

15 **Q.** And then another item is gasifier refractory?

16 **A.** Yes.

17 **Q.** What's that, and what's the improvement here?

18 **A.** As an example, the GE Energy, or what used to
19 be the Texaco, the gasifier is metal, and it's lined
20 with a refractory brick, several feet of it, and it
21 protects the metal from high temperature. And the slag
22 that is produced during the gasification, because it's
23 operating at 2,500, 2,600 degrees, you have molten slag
24 in there, and it is erosive and corrosive. So you
25 protect the gasifier metal by having this high chromium

1 refractory. It's an insulation material.

2 And what we found is that there were
3 improvements made -- we found that in gasifier
4 operation, since we didn't have a lot of gasifier
5 operation history to go with, the first set of
6 refractory at Polk Power Station eroded and corroded
7 much faster than designed.

8 So we went back to the manufacturers, and we
9 went back to Eastman Chemical that uses another
10 Texaco/GE gasifier and worked with them and found -- and
11 the manufacturers and said, "Is there something better,"
12 because when you change this out, you're down for 30
13 days and it costs you several million dollars. It's not
14 something you want to mess up.

15 But on startup, because we had -- as you can
16 see in the availability chart that you pointed out, on
17 the first couple of years at Polk Power Station, there
18 was very low availability, and that's because the unit
19 was started up, shut down, started up, shut down. And
20 refractory brick tends to crack, erode, corrode. And as
21 I recall, it was a three-year liner refractory that
22 lasted a year. So after the first year, we had to spend
23 a lot of money and time down, and it affected the
24 availability and the cost of the unit. We've learned a
25 lot more on that now and have better refractory

1 materials, as an example.

2 Q. And then burner design.

3 A. Yes. Even though it's not combustion in a
4 gasifier, it's kind of --

5 Q. Yes, that's my question.

6 A. We call it a burner. It's really a process
7 injector, and that's where the coal slurry and the
8 oxygen goes into the gasifier, in a GE gasifier, and
9 that's the materials that get gasified. And it used to
10 be that they would only last about 30 days from erosion
11 and corrosion. And we learned by making our own changes
12 and talking with the GE and Texaco people and other
13 gasifiers that we found improvements, and now Polk power
14 station is able to go 90 to 120 days without taking out
15 that process injector. When you take it down, you're
16 bringing the gasification portion of the plant down, so
17 that has a negative impact on availability.

18 So these are the things that we've learned.
19 We're doing better, and all these things are being put
20 into the new designs. And that's why I said in my
21 opening summary that we expect all these things that
22 we've learned to enhance the availability of IGCC in the
23 future, but we won't know for another six years if all
24 these things work.

25 Q. Okay. So let's turn to Exhibit 179, which is

1 the picture of the Mulberry plant.

2 A. Yes, got it.

3 Q. The gasifier is that great big fat tower that
4 looks like the top of a square 6-volt battery on the top
5 sort of in the center right?

6 A. It is the structural steel structure at about
7 the one o'clock position. It's a little over -- you
8 know, over 200 feet tall.

9 Q. Okay. Now, you say the next generation -- you
10 jumped ahead of me because you've got that in your hand
11 there. The next generation should achieve 85 percent
12 availability, 85 percent plus, over 85 percent. That's
13 what you've got shown here?

14 A. Yes.

15 Q. And it looks to me like you've given reasons
16 why, your three reasons why. Is that what I see there?

17 A. Yes.

18 Q. And so one is having a spare gasifier train.

19 A. Yes.

20 Q. Now, let me ask you a hypothetical question
21 here. Let's just say that you wanted to get to 2,000,
22 or 1,800 megawatts, and the way you decided to do it was
23 with six 300-megawatt units sitting side by side, sort
24 of the same way you have six locomotives pulling a giant
25 long train. Is that the context where you would have a

1 spare gasifier, so you would sort of have a seventh so
2 if any one of them went down, you could, you know, use
3 the spare? Is that the concept?

4 A. Not really, no, because actually, IGCC does
5 not come in 300-megawatt chunks. It's not commercially
6 available in that size.

7 Q. What sizes -- what's the big size that it's
8 available in?

9 A. Well, right now, all that has been
10 demonstrated is 250. What's being designed right now
11 are 600-megawatt IGCC, so we're really only about a
12 third of what the two units at Glades would do.

13 Q. Okay. So if you had three of those -- is this
14 the first concept of the spare gasifier? Would that be
15 the idea, that if you had three units to get you to
16 1,800, that you would add a fourth in as a spare? Is
17 that the concept?

18 A. You might add a fourth, you might add a fifth.
19 You have to do what's called reliability, availability,
20 maintainability, or RAM analysis to find out will it get
21 you to that point.

22 Q. But you think that a spare gasifier might get
23 you to 90 percent?

24 A. It's like the "can" and "potential." The
25 "may" is "might."

1 **Q.** Well, this one is definitely may.

2 **A.** Yes, this one says may, and it may, but we
3 won't know for about another six years. And of all the
4 IGCC plants being planned right now, only one, the
5 Mesaba plant, plans to include a spare gasifier train.
6 And in their calculations, they expect that it could
7 reach 90 percent availability, and they're paying a lot
8 of money -- it's about another \$100 million to get that
9 expectation of 90 percent. They will find out when they
10 start up in 2011, 2012.

11 **Q.** That's about half the cost of the transmission
12 lines here?

13 **A.** I don't know that.

14 **Q.** Okay. Backup fuel. Did we talk about this
15 already, diesel?

16 **A.** We talked, you know, diesel, natural gas.

17 **Q.** Right. And that would be on top of the 85 or
18 90 percent; right?

19 **A.** It's possible that it could get you -- it
20 could help you get there. We don't know yet, because
21 none of these units are in service.

22 **Q.** You can't actually do that at a pulverized
23 coal plant, can you? You can't --

24 **A.** Oh, yes. In fact --

25 **Q.** Well, how do you do it?

1 **A.** When you start up a pulverized coal plant,
2 you're starting up on No. 2 fuel oil with the igniters,
3 and you raise your steam pressure, and you can actually
4 make enough steam where you can drive the steam turbine,
5 get to a low load if need be, and then -- before you
6 fire the coal to start up. So it is possible to do
7 that.

8 **Q.** But when a PC plant goes down, you can't run
9 it on diesel, can you?

10 **A.** Well, what do you mean by goes down?

11 **Q.** Well, stops working because you've got to work
12 on it or something is broken.

13 **A.** Okay. And the same thing could happen to the
14 combined cycle plant.

15 **Q.** Okay. But I think the concept that I'm
16 bringing is, you keep talking about the gasifier as
17 being a problem. Everything you've talked about has
18 been gasifier issues; right?

19 **A.** I've answered your questions about the
20 gasifier. If you want to talk about the reliability
21 problems with the combined cycle plant, we can do that.

22 **Q.** Okay. Well, we can get to that. I would like
23 to hear what you have to say, but let's finish this one.
24 I think you finished your answer by saying the options
25 have to be balanced against the cost of capital and

1 fuel.

2 **A.** Yes.

3 **Q.** So I think what you're telling us here is that
4 you've got a capital cost that you've got to put in, and
5 then you've got a fuel cost that you balance for the
6 backup, that is, you might -- you know, gas is really
7 expensive, and you might not want to do it at all.

8 **A.** That's correct.

9 **Q.** Is that the idea? Is that what you meant?

10 **A.** Right. And that's what Mesaba did in the
11 design of their plant for Minnesota. They decided
12 instead of using more backup fuel, they put in the extra
13 \$100 million or so for the additional gasifier train to
14 try and get a higher availability. It's the economic
15 analysis that they did in their transmission system in
16 Minnesota, and for them, that's the decision they made.

17 **Q.** Now, Florida Power has mostly natural gas
18 plants, natural gas -- I mean Florida Power & Light has
19 mostly natural gas generating plants?

20 **A.** I think that's correct. I haven't looked at
21 their total mix.

22 **Q.** And how do those compare mechanically to the
23 way the combined cycle part of an IGCC plant works?

24 **A.** Well, if we take a general natural gas-fired
25 combined cycle plant and -- I hate to say general IGCC,

1 because we only have four we can look at. The
2 combustion turbine pieces are very different, because
3 syngas from a gasifier is a mixture of carbon monoxide
4 and hydrogen. That's what you turn the coal and water
5 into in a gasifier.

6 In a gas-fired combined cycle plant like
7 Florida Power & Light has, it burns natural gas, which
8 is methane. Methane is a completely different compound
9 from carbon monoxide and hydrogen that's in syngas, and
10 those are very different from fuel oil.

11 So in the design of the combustion turbine
12 part of the power block, the combustion nozzles or cans,
13 kind of like the cylinders of a car engine, have to be
14 designed for the fuel that you're burning. It's like
15 that jet engine that's burning jet A fuel is burning
16 something very different, and it's not natural gas. You
17 know, airplanes -- that DC-10 does not run off a natural
18 gas line, so its engine is a very different design and
19 the combustors are a very different design. That's the
20 basic difference.

21 **Q.** So the big picture, would it be a fair
22 characterization to say it's like trying to run a jet
23 engine on gasoline instead of on jet A? Is that the
24 concept?

25 **A.** The design, yes, very different design.

1 Q. Okay. All right. Let's turn to a couple more
2 things, unless you have something to add. Did you want
3 to get into -- I think you wanted to talk a little about
4 the turbine and heat recovery end of this thing about
5 the gasifier. Did you want to say something about that?

6 A. No. I kind of feel like I'm giving my
7 presentation.

8 Q. Okay. Well, let me move on to another
9 presentation of a little more than a year ago.

10 MR. ANDERSON: Chairman Edgar, at the outset
11 of this one, could the witness be given a copy of the
12 document he's going to ask about?

13 MR. GUEST: Yes. There's only two images from
14 this one. Well, maybe three. And tell me if you
15 recognize these, if you would. Do you want me to
16 distribute them all to see whether he remembers these
17 things?

18 CHAIRMAN EDGAR: If you've got copies, we'll
19 all take them.

20 MR. GUEST: We ought to give them out too, so
21 that's what we're going to do.

22 THE WITNESS: Yes, I do remember this
23 presentation in Houston with the Gulf Coast Power
24 Association.

25 BY MR. GUEST:

1 **Q.** All right. While we're waiting for these to
2 get dished out, let me ask you a quick question. There
3 were problems with GE turbines, the GE jet engines? Are
4 you familiar with those?

5 **A.** GE jet -- I don't really work with GE jet
6 engines.

7 **Q.** Well, I mean with the turbines used in IGCC
8 units.

9 **A.** There have been problems with many GE
10 combustion turbines.

11 **Q.** And they were the 7F model?

12 **A.** Yes, 7F basis, or some of them, the newer ones
13 are 7FA, and now they're making 7FBs, which are larger.

14 **Q.** And what was happening is, they were cracking
15 the front disk in the turbine?

16 **A.** That was one of the problems that the GE
17 combustion turbines had.

18 **Q.** And it also had a problem with a vane in the
19 compressor?

20 **A.** As I recall, yes. There have been different
21 problems that have occurred at Wabash River and Polk.

22 **Q.** Right. Those problems have since been fixed?

23 **A.** Yes.

24 **Q.** And those are good illustrations of what you
25 were explaining to us, I think, are they not, of how you

1 end up bringing this technology into full working order,
2 that you find things that go wrong and you fix them
3 along the way?

4 **A.** Yes. Sometimes the manufacturers find them,
5 and sometimes you find them for the manufacturers.

6 MR. GUEST: All right. I think these have
7 been handed out. Do I have one? I hope there's one
8 left for me. I guess we would like to -- can we mark
9 these together as --

10 CHAIRMAN EDGAR: We can mark them together.

11 MR. GUEST: 181.

12 CHAIRMAN EDGAR: 181, yes.

13 MR. GUEST: Consisting of three pages. And
14 let's just call it -- well, what would you like to call
15 it, Madam Chairman, because I never get it right.

16 MR. ANDERSON: A day, maybe?

17 CHAIRMAN EDGAR: Tempting, tempting. We will
18 call it three pages of environmental permitting for IGCC
19 power plants slides.

20 (Exhibit 181 marked for identification.)

21 BY MR. GUEST:

22 **Q.** All right. So the first page was what it was?

23 **A.** Yes.

24 **Q.** And now we're on another page which doesn't
25 have a number on it, and it's called "Comparison of

1 Solid Wastes, IGCC Versus PC." PC means pulverized
2 coal?

3 A. Yes, it does.

4 Q. And so we've got three columns. Let's just go
5 through the three quickly. Solid wastes, IGCC you say
6 has small volumes of sulfur and slag.

7 A. It can, yes, in this example.

8 Q. And then pulverized coal has large volumes --
9 what does FGD stand for?

10 A. FGD is flue gas desulfurization. That's the
11 system on the back end commonly known as an SO₂ scrubber
12 to remove the SO₂ from the flue gas.

13 Q. What are the by-products?

14 A. Different systems have different by-products.
15 And what FGPP is planning to use is a system, an FGD
16 system that would produce a commercial grade by-product
17 gypsum that could be used in making wallboard and
18 cement, or even used as an agricultural additive like
19 Tampa Electric's FGD system does.

20 Q. Okay. And then the next the column is market
21 use, and under IGCC you say, "Excellent markets for
22 sulfur and slag." I think you've already talked about
23 slag; right?

24 A. Yes. And I think we talked about sulfur.

25 Q. Yes, you talked about sulfur too, and TECO in

1 Mulberry is using some of it for the phosphate
2 fertilizer.

3 A. They make sulfuric acid, not sulfur.

4 Q. And some of it is used -- well, you've already
5 told us, so we don't need to go over it gain.

6 Now, I see that under pulverized coal, you
7 say, "Markets may or may not exist."

8 A. That's correct.

9 Q. Okay. And then under land requirements, you
10 only have temporary storage for IGCC, and pulverized
11 coal, you need hundreds of acres.

12 A. It's possible. If you can't market it, you
13 have to do something with it. As Mr. Hicks talked about
14 a little while ago, you would have to put in the double
15 lined storage area.

16 Q. Now, let's do the last page I've got for you.

17 A. Okay.

18 Q. Impacts of CO₂ capture.

19 A. Yes.

20 Q. That's carbon dioxide capture.

21 A. Yes.

22 Q. And we've got two columns, IGCC plant versus
23 pulverized coal plant.

24 A. Yes.

25 Q. And the capture percentage is about the same.

1 That's the first row.

2 A. Yes.

3 Q. Unit output derating, what does that mean?

4 A. That means the -- let's say you have a
5 500-megawatt unit, which is what they did here, and I
6 can discuss that a little further. How many of those
7 megawatts the unit is derated from that number when you
8 add the CO₂ capture system in.

9 Q. So that means how much juice it takes to run
10 the capture process?

11 A. In this example, that's correct.

12 Q. And what is the 29, do you think? What does
13 the 29 refer to?

14 A. That is 29 percent --

15 Q. Percent. I see.

16 A. Yes.

17 Q. I see. Whereas an IGCC plant has less than
18 half that?

19 A. In this example.

20 Q. Okay. And heat rate increase, what's that?

21 A. The heat rate is Btus per kilowatt-hour. A
22 higher number is worse. It's the reciprocal of
23 efficiency. So if a heat rate goes up, that means the
24 unit is less efficient.

25 Q. Okay. And so in your presentation, you

1 counted the IGCC plant as two and a half times more
2 efficient? Did I get that right?

3 A. The change in heat rate.

4 Q. Okay. So it's 40 percent more -- can you
5 frame it for me?

6 A. Well, if you had a heat rate to start with of
7 10,000 Btus per pound and it increased 40 percent, it
8 would now be 14,000 Btus per kilowatt-hour, the heat
9 rate.

10 Q. I got it. So it really makes a big difference
11 with a PC plant as compared to an IGCC plant?

12 A. In this example that Dr. Sikander Khan showed.

13 Q. And then a capital cost increase of 47 percent
14 versus 73 percent for a PC plant.

15 A. Yes.

16 Q. And then -- what does COE stand for?

17 A. Cost of electricity. That's the bottom line
18 of what it costs for the electricity production from
19 both the IGCC plant and the pulverized coal plant in
20 this EPA example.

21 Q. Okay. So that's 38 percent increase versus
22 66.

23 A. Yes.

24 Q. And that's not quite twice.

25 A. Yes. But I think it's interesting to note on

1 this that when Dr. Khan, who I've spoken with many time,
2 prepared this information, it was done by a consulting
3 firm that had no experience in the design, operation, or
4 construction of either IGCC or PC plants, and they did
5 it based on a 500-megawatt plant. A 500-megawatt is not
6 a commercial size for IGCC. The proper size should have
7 been 600. And I sat down and discussed this with
8 Dr. Khan, and he realized that there would be a problem
9 with this information when it became public because it
10 was not on a correct basis.

11 Since then, the EPA, Environmental Protection
12 Agency, has put together an Advanced Clean Coal
13 Technology Work Group. They have asked me to be on that
14 work group along with some -- there are about 30 of us
15 from industry, from Sierra Club, from NRDC, from Green
16 Peace, from boiler and IGCC manufacturers, and they have
17 asked us -- one of the things to do is to update this
18 report, because EPA has found that nobody is using these
19 numbers because they were not done on a credible basis.
20 And this information was taken from Dr. Khan about a
21 month after EPA released its report. Some of the same
22 numbers are in this environmental footprints report, and
23 EPA has determined that it is outdated and inaccurate
24 and needs to be completely revised. And I will be
25 working with EPA over the next few months to put in some

1 of the newer numbers that we were talking about earlier
2 this morning.

3 Q. So you're saying that this is outdated, but it
4 hasn't been updated? Is that the short story?

5 A. That's correct. Nobody really uses these
6 numbers anymore because there is a realization in the
7 EPA and in the industry that these numbers are no good
8 anymore.

9 MR. GUEST: Okay. No further questions.
10 Thank you.

11 CHAIRMAN EDGAR: Mr. Krasowski, do you have
12 questions for this witness?

13 MR. KRASOWSKI: Yes, ma'am, I have a few.

14 CHAIRMAN EDGAR: Okay.

15 CROSS-EXAMINATION

16 BY MR. KRASOWSKI:

17 Q. Hi, Mr. Jenkins.

18 A. Hi, Mr. Krasowski.

19 Q. You worked on the TECO Tampa plant, right?

20 A. Yes, I did. I was deputy project manager.

21 Q. And that's the plant that was identified
22 earlier as costing twice the amount that was originally
23 projected, 303 million, and ultimately it cost
24 606 million; is that correct?

25 A. It's actually 609 million, but it's close

1 enough.

2 Q. What happened there?

3 A. Well, as Mr. Hicks was talking about, on other
4 IGCC plants that we were looking at, at this new fleet,
5 before you do all of your preliminary engineering, you
6 do a cost estimate. And since we had no large scale
7 IGCC plants to use as a go-by, we did what we knew how
8 to do, and we worked with the DOE and Texaco at the
9 time. We did a preliminary estimate. We filed that
10 with DOE. And when it came time to do all the detailed
11 engineering -- and when you do detailed engineering, you
12 refine that cost estimate. And we found when things got
13 real, so to speak, that the cost was considerably more
14 than we first thought.

15 And then that \$609 million number also
16 includes some additions after the unit went into service
17 in 1996, and DOE partially co-funded some of those cost
18 overruns. You can see that in the Polk Power Station
19 final report that is publicly available from DOE.

20 Q. How did the cost of operations estimates work
21 out ultimately?

22 A. As I noted, some of the availability in the
23 up-front years was poorer than designed for. The
24 operating and maintenance costs were higher. Things
25 like replacing that refractory when it was supposed to

1 last three years and lasted one, putting in new
2 corrosion-resistant or better corrosion-resistant piping
3 in the black water system, changes in the brine
4 concentration, the fixes on the combustion turbine that
5 had -- you know, some were warranty and some were not.
6 So overall, the operating and maintenance costs were
7 higher than we had planned. It's a chemical plant tied
8 to a power plant. It's not an easy thing to run,
9 although they do a fine job at Polk Power Station.

10 **Q.** And that was a 250-megawatt facility?

11 **A.** Yes, 250 net.

12 **Q.** Okay. I don't know if it was you, but a while
13 back I saw a presentation. Somebody that had worked
14 there or was working there had spoken about that
15 facility, and they mentioned something about the
16 reliability where this IGCC component operated like 35
17 or 37 percent of the time, and they did have to go to
18 backup pretty -- you know, if only 30 percent of the
19 time this was working. And I guess they mentioned -- I
20 believe they mentioned using gas. Is that your
21 understanding? How much -- how reliable was that
22 facility?

23 **A.** The backup fuel at Polk Power Station is fuel
24 oil, and the reason we did that is because there was no
25 natural gas line at Polk Power Station. Now there is,

1 and there are several gas-fired simple cycle combustion
2 turbines there, peakers. I believe in the exhibit that
3 Mr. Guest passed out was one of my slides that shows the
4 availability of all of the IGCC plants in the world, all
5 four of the coal-based ones, and it shows what the
6 actual numbers for Polk Power Station were in the early
7 years, and we had very low availability, 30s. I think
8 it took three years to get to 60 percent. And there
9 were times when we did use fuel oil as a backup fuel to
10 keep the combustion turbine online and generating power,
11 particularly in the summer months when you could
12 dispatch that higher priced power.

13 Q. Okay. On the solid waste category, is that
14 municipal solid waste, or are you talking about a
15 specific -- like tires or wood waste, a dedicated stream
16 of a specific material, or are you talking about general
17 garbage?

18 A. This is a solid by-product coming out of the
19 gasification system in contrast to what's going in, the
20 slag, the ammonium chloride brine. Those would be
21 considered solid by-products.

22 Q. Okay. I'm sorry. So it's not the use of
23 solid waste materials to generate syngas?

24 A. Correct.

25 Q. Okay. Does this gasification process -- I

1 don't know if you're familiar with this, but a few years
2 back, there were proposals floating around to process
3 solid waste through a syngas, a gasification type of
4 operation, and they had their main base in Wollongong,
5 Australia, was one, Brightstar?

6 **A.** Yes.

7 **Q.** You know --

8 **A.** I'm very familiar with the Brightstar
9 technology.

10 **Q.** Is this -- excuse me. Is it the same type of
11 operation? Would you use the same gasifier designed for
12 waste, the one, you know, the one you're designing for a
13 certain type of coal. Is this the same machine?

14 **A.** It is a very, very different machine.
15 Designing to handle municipal solid waste, which has a
16 lot of moisture, a lot of metals, a lot of glass, and
17 has very low heating value, the gasifiers for municipal
18 solid waste are a completely different universe than the
19 type of gasification equipment that is used for coal
20 and/or petcoke. We have GE, CococoPhillips, and Shell
21 as the big three, we call them in the IGCC industry.
22 None of those companies are involved in municipal solid
23 waste gasification. And then we have companies like
24 Brightstar, who unfortunately are no longer in business,
25 but other --

1 Q. It all depends on how you look at it,
2 fortunately, unfortunately.

3 A. Okay. Yes, but they are no longer in
4 business.

5 Q. No longer in business.

6 A. The Wollongong, Australia, plant was an
7 economic failure for them, not a technical one. But you
8 have a completely different universe of companies that
9 are involved in municipal solid waste gasification than
10 are in coal. Those are much smaller, 10 to 20
11 megawatts, where here we're talking 600. But then
12 again, that's only a piece -- that's only a fraction of
13 what we do with ultra-supercritical pulverized coal,
14 where we're talking about 1,800 megawatts, very --
15 municipal solid waste gasification, 20; 1,800 megawatts
16 with supercritical coal.

17 Q. The Wollongong facility never worked for more
18 than eight days in a row. It was a technical failure as
19 well as an economic, the technical inability. But
20 that's off the track. Excuse me. I'm sorry.

21 To get back on track, as was mentioned
22 earlier, if you have these 250-megawatt units, why not
23 put eight of them side by side and then have two in
24 reserve, and then you could design and dedicate two of
25 them to coal, one to gas, one to tires, you know, one to

1 biofuel. If you could design, and then you have the
2 cross -- as they say in the space industry -- what is
3 that, you know, where you back up, you have multiple
4 backups? But that would be very expensive, I suppose.

5 **A.** Yes, it would.

6 **Q.** Okay. So forget that.

7 **A.** Spare gasifiers, as I noted, are about \$100
8 million, a gasifier train. That's a lot of money.

9 **Q.** And beyond that, the ratepayer would be
10 floating this if some people get their way. It's not a
11 very attractive idea to me.

12 **A.** Yes. Well, you either pay for the spare
13 gasifier train or you pay for a lot of natural gas and
14 the gas transmission line to bring it in. And every
15 time you fire backup natural gas in your non-working
16 IGCC plant, somebody has got to pay for that high cost
17 power.

18 **Q.** You know, earlier you said -- and this is not
19 a trick question, but earlier you said that the
20 technology is evolving at an amazing rate. I think you
21 were referring to the capture and sequestration
22 elements, those separate elements or together. And I
23 understand you're not speaking as an expert in
24 efficiency or conservation or environmental; right? But
25 from your position here, what would be wrong, if it's

1 possible -- well, what would be wrong, if it's possible,
2 with delaying building either one of these technologies
3 for two and a half, three years, until we can take
4 advantage of what's going to happen in the next year or
5 two? Are we in that much of a hurry with this to --

6 **A.** Well, on the technical side, obviously, we
7 don't know, as I said, that all of these changes are
8 going to be proven from six years from now, not two or
9 three, but six years from now. I don't think you can
10 plan to wait on what might come.

11 The other issue on the whole issue of when the
12 capacity is needed, that's for someone at Florida Power
13 & Light to talk about. I mean, that's not my area of
14 expertise, in the generation planning and meeting
15 capacity additions.

16 **Q.** So in your view, it's kind of six years out
17 before we get a solid answer on the IGCC option?

18 **A.** Yes. And my job, it says gasification
19 services in my title. I want these IGCC plants to work
20 and work reliably and have high efficiency, or else I'll
21 have to find something else to do. But my expectation
22 is, all these things that we're learning we're going to
23 put in these designs, but it will be six years before we
24 know whether they'll really work or not. You know, I'm
25 waiting, and I'm optimistic.

1 MR. KRASOWSKI: Well, thank you very much,
2 Mr. Jenkins.

3 THE WITNESS: Thank you.

4 CHAIRMAN EDGAR: Are there questions from
5 staff?

6 MS. FLEMING: No questions.

7 CHAIRMAN EDGAR: Commissioners? No questions.
8 Mr. Anderson. No? Okay. Let's do the
9 exhibits.

10 MS. BRUBAKER: I believe there are no direct
11 exhibits for Mr. Jenkins, and so that leaves us with
12 Exhibits 179 through 181 proffered by Sierra.

13 CHAIRMAN EDGAR: Thank you. Mr. Anderson, any
14 objection?

15 MR. ANDERSON: No objection.

16 CHAIRMAN EDGAR: No objections? Okay. Then
17 seeing no objections, we will enter 179, 180, and 181,
18 into the record. Thank you.

19 (Exhibits 179, 180, and 181 admitted into the
20 record.)

21 MR. ANDERSON: Chairman Edgar, just as a
22 procedural matter, we have a number of witnesses
23 available. If people have comparatively little for
24 Mr. Yeager, if it would work for people, we would like
25 to take him next.

1 CHAIRMAN EDGAR: Mr. Beck, Mr. Guest,
2 Mr. Krasowski, are you amenable to taking Mr. Yeager out
3 of order to be the next witness?

4 MR. GUEST: Of course, we're amenable to
5 whatever people want to do. I just had one of my
6 witnesses ask me if we don't make it tomorrow, do you
7 think we'll spill over to Friday or spill over to
8 another day?

9 CHAIRMAN EDGAR: We will not spill over to
10 Friday, because there are conflicts on Friday. However,
11 we do have some time available Monday, which is the
12 30th.

13 MR. GUEST: Monday the 30th. Okay. That
14 bears on what we do, so may I confer?

15 CHAIRMAN EDGAR: Of course.

16 (Off the record briefly.)

17 MR. GUEST: I think if you give us two
18 minutes, we might be able to speed things up.

19 CHAIRMAN EDGAR: Oh, okay. We will take two
20 minutes.

21 (Short recess.)

22 CHAIRMAN EDGAR: Yes, sir?

23 MR. GUEST: We have elected to stipulate the
24 witness's testimony.

25 CHAIRMAN EDGAR: Okay. Mr. Guest, are you

1 referring to Mr. Yeager?

2 MR. GUEST: Yes.

3 CHAIRMAN EDGAR: Mr. Krasowski, Mr. Beck. Mr.
4 Beck concurs, and Mr. Krasowski.

5 Staff, I think I asked you that earlier, but
6 remind me. No questions. Okay.

7 Commissioners, you're okay with that.

8 Okay. Then I think that -- I'm sorry. I
9 didn't even ask you, did I? I apologize. Mr. Anderson.

10 MR. ANDERSON: That's delightful. I just
11 wanted to make sure we offer his exhibits into the
12 record as well.

13 CHAIRMAN EDGAR: Okay. Well, then in the
14 interest of me not forgetting something else, let's go
15 ahead and enter Mr. Yeager's prefiled rebuttal and
16 direct, direct and rebuttal testimony into the record.
17 And I need to find the numbers of the exhibits. Thank
18 you. Exhibits 61 and 62 will be entered into the record
19 as well. Ms. Brubaker, does that take care of that?

20 MS. BRUBAKER: I believe it does.

21 (Exhibits 61 and 62 marked for identification
22 and admitted into the record.)

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF WILLIAM L. YEAGER**

4 **DOCKET NO. 07_____ -EI**

5 **JANUARY 29, 2007**

6

7 **Q. Please state your name and business address.**

8 A. My name is William L. Yeager. My business address is Florida Power &
9 Light Company, Engineering and Construction Division, 700 Universe
10 Boulevard, Juno Beach, Florida 33408.

11 **Q. By whom are you employed and what is your position?**

12 A. I am employed by Florida Power & Light Company (FPL) as Vice President
13 of Engineering and Construction.

14 **Q. Please describe your duties and responsibilities in that position.**

15 A. I am responsible for engineering and construction of all generation projects
16 for the Company, as well as all procurement and start-up activities. This
17 includes the proposed FPL Glades Power Park (FGPP) Units 1 and 2.

18 **Q. Please describe your educational background and business experience?**

19 A. I received a Bachelor of Mechanical Engineering degree from the Georgia
20 Institute of Technology in 1982. I received an MBA from the University of
21 South Florida in 2003. I am a registered professional Engineer in the State of
22 Florida and a member of the American Society of Mechanical Engineers.

1 My entire 24 years of work experience has involved the design, engineering
2 and construction of electrical power plants, in which I have held numerous
3 positions with increasing responsibilities. My career began as a mechanical
4 engineer with FPL in 1982. In 1987, I was lead engineer for the preliminary
5 engineering phase of Lauderdale 4 and 5, two 400 MW combined cycle
6 repowered units that came on line in 1992.

7
8 From 1988 to 1991, I was the Project Engineering Manager for FPL's Martin
9 Coal Gasification Combined Cycle Project. This project consisted of the
10 permitting of the Martin Combined Cycle Units 3 and 4, two 400 MW natural
11 gas fired combined cycle plants; Martin Coal Gasification Combined Cycle
12 Units 5 and 6, two 400 MW integrated gasification combined cycle plants, and
13 the retrofit capability for converting Units 3 and 4 to coal gasification. This
14 project is noteworthy in that it represented one of the first detailed reviews for
15 the use of constructing a large scale 400 MW integrated combined cycle plant
16 using coal as a feedstock in the United States. Due to poor economics (e.g.,
17 high O&M and poor reliability) and concerns with scale-up of the technology,
18 FPL only constructed the natural gas fired Martin Combined Cycle Units 3
19 and 4 portion of the project.

20
21 Following the completion of Martin 3 and 4 in 1991, I held various
22 management positions at the FPL Martin Plant site. In 1995, I became
23 Operations Manager for FPL Energy's predecessor, ESI Energy, Inc., an

1 unregulated affiliate of FPL. This included operations responsibilities for
2 fossil fueled power plants which included natural gas, oil and coal, and
3 renewable energy power plants which included wind, solar and wood by-
4 products.

5
6 From 1997 to 1999, I was a General Manager within the Power Generation
7 Division for FPL responsible for providing engineering for combustion
8 turbines and balance of plant components. In this role I had responsibilities
9 for fossil fueled power plants which included natural gas, oil and FPL's coal
10 plants St. Johns River Power Park Units 1 and 2, which FPL has a 20%
11 ownership and Scherer Unit 4, in which FPL has a 76% ownership.

12
13 From 1999 through 2001, I was Plant General Manager of FPL's Manatee
14 Plant.

15
16 From 2001 to 2005, I was the Director of Engineering in the Engineering and
17 Construction Division with overall responsibility for the engineering of all
18 FPL power plant projects.

19
20 In my current position as Vice President of Engineering and Construction I am
21 responsible for the engineering, construction and start-up of all power plant
22 projects for FPL. This position includes an overall responsibility for
23 reviewing, monitoring and performing any technical evaluations on all

1 generation technology options for FPL. This includes providing technology
2 assessments, which would include the estimation of construction costs,
3 operating costs, and performance projections such as heat rate, output,
4 availability and reliability, requiring an understanding of the most current
5 technology advancements. For a solid fuel power plant, such technological
6 options include sub-critical pulverized coal (SPC), supercritical pulverized
7 coal (SCPC), ultra-supercritical pulverized coal (USCPC or advanced
8 technology coal), circulating fluidized bed (CFB) and integrated gasification
9 combined cycle (IGCC) plants.

10 **Q. Are you sponsoring an exhibit in this case?**

11 A. Yes. I am sponsoring an exhibit consisting of the following documents which
12 are attached to my direct testimony:

13 Document No. WLY-1 FGPP Construction Cost Components

14 Document No. WLY-2 FGPP Indexing

15 **Q. Are you sponsoring any part of the Need Study for this proceeding?**

16 A. Yes. I co-sponsor Sections III.E, F, G and Section V.A.4.a.(i) of the Need
17 Study. I also sponsor Appendix H of the Need Study.

18 **Q. What is the purpose of your testimony in this proceeding?**

19 A. I am testifying in support of FPL's Petition for Determination of Need. I
20 describe some of the key considerations in determining the technology
21 proposed to be used at FGPP and explain why USCPC is the best option
22 among the solid-fuel technologies considered. I discuss FPL's expected in-
23 service dates for FGPP 1 and 2, and describe areas of uncertainty associated

1 with a project of this size and scale, particular as those uncertainties relate to
2 the schedule. Finally, I explain the approach FPL has employed to produce
3 reasonable estimates for the cost of FGPP 1 and 2.

4

5

I. TECHNOLOGY

6

7 **Q. What advanced coal generating technologies were considered by FPL?**

8 A. The technologies that were considered are: SPC, USCPC, CFB and IGCC.
9 Cost and performance estimates were provided as part of the initial
10 assessments performed in the fall of 2004 for FPL's Report on Clean Coal
11 Generation, a report that was provided to the FPSC on March 10, 2005.
12 Updated cost and performance estimates were also provided to FPL's
13 Resource Planning in December of 2006.

14 **Q. Please provide a brief overview of the technologies considered.**

15 A. Most coal burning power plants use SPC boilers, which are the most
16 predominant. SCPC plants have been in use since the initial introduction in
17 the 1960s, while USCPC have been in use since the mid 1990s. The most
18 advanced coal-fired pulverized coal plants, USCPC, have been in successful
19 operation starting in 1994. There are currently 17 USCPC plants in operation
20 with another 25 plants currently under construction, mostly in Europe and the
21 Far East. The industry's technology choice is trending toward USCPC due to
22 its inherent performance advantages over the older SPC technology.

1 The two commercially available technologies that use the fluidized bed boiler
2 are the bubbling bed (BFB) or CFB. The CFB technology is the most
3 prevalent of the fluidized bed technologies used today. The first utility-grade
4 CFB unit was a 110 MW Department of Energy (DOE) Clean Coal
5 Demonstration Project constructed in 1987. The largest CFB unit operating in
6 the United States is the 300 MW Jacksonville Electric Authority (JEA)
7 Northside plant. The technology is considered to be a viable technology in
8 300 MW sized boilers and typically is used in locations where fuels such as
9 lignite or a coal waste product are readily available, which is not the case in
10 South Florida.

11
12 FPL also considered IGCC. IGCC utilizes a gasification process which dates
13 back to the 1800s. In fact, the first patent was granted to Lurgi GmbH in
14 Germany in 1887. Though the gasification process itself is considered
15 mature, it is the integration of the gasification process into a combined cycle
16 power plant that is not currently viewed as viable for large scale reliable
17 power generation applications. In connection with my responsibilities when I
18 was the Engineering Project Manager of the Martin Coal Gasification Project
19 between 1988 and 1991, FPL extensively evaluated the IGCC process and
20 determined that the technology had not matured to a point where it would be
21 competitive with other technologies. Issues at the time included higher
22 construction and operating costs, lower availability due to reliability issues,
23 and marginal performance characteristics, e.g., heat rates greater (meaning

1 less efficient) than USCPC. FPL continues to reassess the technology each
2 year as part of its generation technology planning. However, FPL's current
3 evaluation of IGCC indicates that there have not been sufficient advancements
4 in the technology: thus, FPL continues to conclude that IGCC is not the most
5 cost effective solid fuel alternative currently available.

6 **Q. Please comment on FPL's selection of the USCPC technology from your**
7 **perspective as the Vice President responsible for reviewing, monitoring**
8 **and performing any technical evaluations on all generation technology**
9 **options for FPL.**

10 A. The detailed reasons for the technology selection are discussed by other
11 witnesses, including David Hicks, Steve Sim, and Steve Jenkins. From my
12 perspective, USCPC is the right choice for FPL and its customers. The
13 USCPC technology has a substantial track record of successful application in
14 the industry. There are currently over 17 USCPC applications operating
15 worldwide with 25 currently under construction. Also, in the case of the
16 USCPC and SPC technologies, single units in the 1,000 MW range already are
17 operating reliably; therefore, there are no scale-up risks associated with these
18 technologies.

19
20 In contrast, there are only four applications operating worldwide for a coal-
21 fired IGCC electric generating plant – a technology that has been available far
22 longer than USCPC. Moreover, the four operating IGCC plants, which
23 include two in the United States, are small scale (less than 300 MW)

1 demonstration projects, built with substantial government funding, and have
2 not met initial projections of cost, efficiency and reliability performance.
3 Although there are plans to increase the technology's commercial size to 600
4 MW, to date no unit has been built at this scale. IGCC has substantial scale-
5 up risk.

6
7 Simply stated, in contrast to USCPC, cost, schedule and performance risks
8 associated with IGCC were determined to be unacceptable.

9 **Q. What other considerations or advantages relative to advanced technology**
10 **coal influenced FPL's technology selection?**

11 A. As I discussed, the technology and construction risk also have an impact on
12 the potential for schedule risk. It is FPL's desire to bring fuel diversity into
13 our current mix of fuels used for our generation fleet in the 2013 and 2014
14 timeframe. The selection of USCPC provides us with the best plan in meeting
15 this timeframe.

16

17

II. CONSTRUCTION

18

19 **Q. What is the expected construction schedule for FGPP Units 1 and 2?**

20 A. FPL will begin construction upon receipt of the necessary federal and state
21 certifications and permits, currently estimated to occur as early as February
22 2008. The expected construction duration for FGPP as a whole is
23 approximately 64 months, with Unit 1 taking approximately 52 months to

1 complete and Unit 2 following approximately 12 months later. For reasons
2 that I discuss more fully below, it has become increasingly clear that, due to
3 market conditions relating to demand for power generation equipment and
4 engineering, procurement and construction (EPC) services, as well as other
5 uncertainties associated with the permitting and construction schedules, it is
6 more likely that the in-service date of FGPP 1 will occur later in 2012 or early
7 in 2013 instead of the previously projected in-service date of June 2012 and,
8 likewise, that the in-service date of FGPP 2 will occur in later 2013 or early
9 2014, instead of June 2013. For purposes of the analysis, however, FPL is
10 assuming in-service dates of June 1, 2013 for Unit 1 and June 1, 2014 for Unit
11 2.

12 **Q. Please describe the factors that lead you to conclude that the prospects**
13 **for meeting the summer of 2012 and 2013 in-service dates for FGPP 1**
14 **and 2 are less likely than previously thought?**

15 A. This is a project of enormous scope and size, requiring many different
16 approvals and permits, large pieces of equipment, separately ordered and
17 manufactured with long delivery lead times, and a massive labor force of
18 craftsmen and skilled labor. Thus, there are many aspects of FGPP that could
19 negatively affect the ability to achieve the earlier in-service dates.

20
21 Obviously, a first, critical step in the development of FGPP is to obtain all of
22 the regulatory approvals necessary to commence construction. At the state
23 level, this includes the Land Use and Certification Orders from the Florida

1 Siting Board. Federal level approvals include the Prevention of Significant
2 Deterioration (PSD) Air Construction permit, the Underground Injection
3 Control (UIC) permit and the Army Corp of Engineers (ACOE) Dredge and
4 Fill permit. These approvals are required not only for the power plant site, but
5 also for the off-site transmission improvements, which include the Hendry
6 sub-station described in Mr. Coto's testimony. There are numerous other
7 permits and approvals that are required along the way.

8
9 Delays in the delivery of major equipment or difficulties in obtaining adequate
10 labor for a project of this scope and scale could also negatively affect FGPP's
11 originally planned in-service dates. For example, the current backlog in
12 specialty fabrication facilities, which include large forgings for steam
13 turbines, boilers and fuel handling equipment, are such that any shop delays
14 resulting from labor issues, weather, or factory malfunctions could result in an
15 extended delay in the delivery of the equipment. Obtaining adequate labor
16 itself at the FGPP site will present a significant challenge for the project. The
17 project is expected to employ, on average, 1,600 construction workers over
18 the 64-month construction timeframe. Though the general region around the
19 FGPP site has an estimated construction labor force of 65,000, there will be a
20 significant portion of the labor force which will require specialized skills
21 generally not found in the region. These skilled craftsmen, such as
22 boilermakers, welders qualified in high alloy welding and supervision
23 experienced in power plants, are expected to be in high demand given the

1 number of projected coal generation projects being constructed in the United
2 States. Current projections are that as many as 45 coal units will be under
3 construction in the United States during the 2008 to 2013 timeframe.

4
5 Because of the significant uncertainties presented by these and similar factors
6 on a project of such scale, and their potential impact on FGPP's construction
7 schedule, it is simply not possible to project with sufficient confidence the
8 original in-service dates for FGPP 1 and 2 of June 2012 and June 2013,
9 respectively. For these reasons, we have based our project plan and the
10 associated analyses on nominal in-service dates of June 1, 2013 and June 1,
11 2014, which I am confident can be met. However, as I previously indicated
12 FPL intends to pursue a schedule that will bring FGPP on-line earlier.

13 **Q. What is FPL doing to mitigate these potential schedule uncertainties for**
14 **FGPP Units 1 and 2?**

15 A. FPL has taken several steps to minimize and mitigate schedule uncertainties.
16 Such actions taken have included:

- 17 • Submitted all permit applications necessary for the start of
18 construction. This included the Site Certification Application, PSD
19 Air Construction application, Underground Injection Control
20 exploratory well application and the ACOE Dredge and Fill
21 application.
- 22 • Initiated procurement of major equipment, which includes the boilers,
23 steam turbines and the pollution control equipment.

- 1 • Secured EPC pricing for FGPP.

2 **Q. What is the current status of the certifications and permits required to**
3 **begin construction of FGPP Units 1 and 2?**

4 **A. FGPP's PSD Air Construction and the Underground Injection Control**
5 exploratory well applications were submitted on December 19, 2006. While
6 the Site Certification and ACOE Dredge and Fill applications were submitted
7 on December 22, 2006.

8

9 **III. INSTALLED COST**

10

11 **Q. What does FPL estimate as the installed cost for FGPP?**

12 **A. The expected installed cost for FGPP is \$3,456 million (2013 dollars) for Unit**
13 1 and \$2,244 million (2014 dollars) for Unit 2, for a total cost of \$5,700
14 million. For Unit 1, this cost includes \$2,396 million for the power plant,
15 \$125 million for land acquisition for the power plant, \$73 million for land
16 acquisition for the off-site transmission system, \$201 million for the
17 transmission interconnection and integration, and \$661 million in allowance
18 for funds used during construction (AFUDC) based on an in-service date of
19 June 2013. For Unit 2, this cost includes \$1,668 million for the power plant,
20 \$195 million for the transmission interconnection and integration, and \$381
21 million in AFUDC based on an in-service date of June 2014. All land
22 acquisition costs are included in the costs of Unit 1.

1 The power plant costs include site development, major equipment, EPC, start-
2 up and project staffing. The site development costs include, but are not
3 limited to: costs of engineering, designing, and permitting the power plant;
4 costs associated with site and technology selection; initial site clearing, filling
5 of the site up to finished grade, all roadways, stormwater facilities and the on-
6 site rail loop. Major equipment costs would include boilers, steam turbine
7 generators, and the pollution control equipment. EPC costs would include
8 balance of plant equipment such as the stack, cooling towers, transformers,
9 condensers, fuel and limestone unloader, reclaimers and crushers, and bulk
10 materials such as concrete, steel, cable and labor. A majority of the power
11 plant costs are based on firm proposals, based on which we are in advanced
12 stages of negotiation. This includes the EPC, boilers, steam turbine and
13 pollution control equipment costs.

14

15 The transmission interconnection and integration costs include all of the on-
16 site switchyard and the off-site electrical improvements necessary to
17 interconnect the FGPP power plants to the FPL transmission system. A more
18 detailed discussion is included in Mr. Coto's testimony.

19

20 The power plant land cost is based on a negotiated land option agreement.
21 Off-site land costs for the transmission upgrades are estimated and discussed
22 in more detail in Mr. Coto's testimony.

1 The allowance for funds used during construction is based on projected cash
2 flows for the project.

3

4 The components of the total plant cost are shown in Document No. WLY-1.

5 **Q. Do you propose that the cost estimate upon which a determination of**
6 **need would be based include certain indexed components?**

7 A. Yes. A portion of the costs upon which the Commission would base its
8 decision in granting a determination of need should be based on indices.

9 **Q. What portion of the estimated capital costs of FGPP do you propose**
10 **should be based on indices?**

11 A. There are two components of the total estimated capital costs for the power
12 plant that should be based on indices: escalation for labor costs in the EPC
13 agreement and the escalation for high alloy steels and metal costs in the
14 pollution control equipment (e.g., Fabric Filter, Wet Flue Gas
15 Desulphurization and the Wet Electric Static Precipitator). The portion of the
16 total estimated cost representing the projected escalation for labor costs,
17 including AFUDC, in the EPC scope is nominally \$594 million, or about 10%
18 of the total capital cost of FGPP. The portion of the total cost estimate
19 representing the alloy material component of the pollution control equipment
20 is nominally \$151 million, including AFUDC, or about 3% of the total capital
21 cost of FGPP.

1 **Q. Why should these two cost components be based on indices?**

2 A. These two cost components are subject to significant market price risks that
3 suppliers simply are not willing to assume. Essentially, these indices address
4 market risks over which neither the supplier nor FPL will have control. Thus,
5 in each case, it is necessary to apply indices for these particular cost
6 components. For the EPC pricing, the labor component will be indexed to a
7 rate derived from the United States Department of Labor Bureau of Labor
8 Statistics County Employment and Wages Bulletin, which is outlined in
9 Document No. WLY-2. For the pollution control equipment contracts, high
10 alloy steels and metal costs will be indexed to published market indices for
11 high alloy steels and metals used in producing the equipment.

12 **Q. Why are suppliers unwilling to accept cost risks without imposing a
13 significant contingency price premium?**

14 A. Over the last two years the industry has experienced sharp increases in labor
15 and material costs that have adversely impacted the suppliers and contractors.
16 In general the costs of bulk material such as metals have also increased
17 substantially. Changes in the backlog of shop orders have risen significantly
18 as a result of the number of announced orders for coal projects in the United
19 States and abroad. This competition for suppliers has placed a premium on
20 the acquisition of major equipment for FGPP.

21

22 In some cases, like the pollution control equipment (e.g., Fabric Filter, Wet
23 Flue Gas Desulphurization and Wet Electric Static Precipitator), the market is

1 so saturated with buyers and orders that firm pricing is not even attainable.
2 This market saturation is due not only to the current backlog of proposed new
3 coal projects, but also to the numerous coal plant retrofit projects underway.
4 Such retrofit projects are in response to new environmental compliance
5 programs such as the Clean Air Interstate Rule (CAIR), Clean Air Mercury
6 Rule (CAMR) and Best Available Retrofit Technology (BART).

7 **Q. Please explain how the proposed indexing mechanism for these power
8 plant costs would work.**

9 A. The current project cost for the power plant includes the projected escalations
10 based on the current projections for the future value of each index. In the
11 event that the actual value of the index is higher than projected, the contract
12 cost would increase. Any increases in the contract cost due to such a higher
13 than projected value for the index would result in an increase in the total
14 project cost. FPL proposes that the total approved cost of the project
15 approved by the Commission be based on the indexing mechanism presented
16 in Document No. WLY-2 for the labor component in the EPC costs and a
17 similar approach utilizing a yet to be determined material-based index for
18 pollution control equipment.

19 **Q. Please describe the potential cost impact of the indexed portion of costs
20 on the total estimated installed cost of FGPP.**

21 A. The total cost estimate includes assumptions regarding how the index will
22 behave. Therefore, depending on the actual movement of the relative indices,
23 the total project cost could be slightly higher or lower. For example, in the

1 case of the EPC labor costs, if the actual labor escalation were double the 4%
2 rate of growth reflected in the filed cost of FGPP over the entire construction
3 period, the increase in labor costs would be \$146 million. In the case of the
4 high alloy steels and metal for the pollution control equipment, if the actual
5 material escalation were double the 4% rate of growth reflected in the filed
6 cost of FGPP over the entire construction period, the increase would be
7 approximately \$6 million.

8 **Q. What has FPL done to ensure the reasonableness of the total estimated**
9 **installed cost of FGPP?**

10 A. FPL secured firm pricing for three major pieces of equipment and the EPC.
11 Specifically, FPL sought and obtained competitive equipment pricing for the
12 boiler, steam turbine and the pollution control equipment. The selection
13 process included at least three bids for each of the major equipment
14 procurements. For the boiler and steam turbine, the process resulted in firm
15 pricing. For the pollution control equipment this resulted in pricing with the
16 majority of the costs firm and the remaining portion subject to an adjustment
17 based on a predetermined index, as I discussed earlier. The immense scope of
18 this project, in the first instance, necessarily limits the number of potential
19 EPC contractors. Thus, the EPC pricing was based on an initial inquiry to
20 three major contractors with coal engineering, procurement, and construction
21 experience. In fact, the result of this inquiry produced only one contractor
22 with resources available in sufficient quantity to handle a project of this
23 magnitude in the timeframe required. FPL promptly undertook to negotiate a

1 market-competitive agreement for the EPC services. In negotiating a market-
2 competitive agreement, FPL employed two fundamental approaches: first, the
3 terms and conditions used were from the competitively-bid West County
4 Energy Center EPC contract; second, the cost was benchmarked against a
5 similar competitively-bid project. These costs included quantities for
6 materials and equipment along with fees and labor man-hours adjusted for
7 scope differences between the projects. Scope differences included the unit
8 size and number of units (one versus two) along with site and region
9 differences.

10 **Q. What is your conclusion regarding the reasonableness of the estimated**
11 **costs of FGPP?**

12 A. For the reasons I have discussed above, the estimated costs for FGPP are
13 reasonable.

14 **Q. What else has FPL done to satisfy itself that the estimated costs of FGPP**
15 **are reasonable?**

16 A. In order to ensure the reasonableness of FGPP's estimated cost, FPL also
17 hired the services of a consultant, Cummins & Barnard, who has performed an
18 independent detailed review of the installed cost estimate for FGPP. In his
19 testimony, Mr. William Damon of Cummins & Barnard discusses the scope
20 and results of his review which concludes that the estimated installed cost for
21 FGPP are reasonable and competitive.

1 **Q. How have the expected costs of constructing generating units changed**
2 **over the last two years?**

3 A. The costs of constructing all types of electric generating units have increased
4 substantially over the last two years and they are expected to continue to
5 increase. These cost increases are similar to what was observed back in the
6 early 2000 to 2005 timeframe when the demand for combined cycle plants
7 increased significantly in the market place. These market conditions,
8 characterized by intensive demand and comparatively limited supply is also
9 occurring in the pulverized coal plants, with approximately 45 units projected
10 to be coming into service in the 2008 to 2013 timeframe. As the demand
11 increases for the supply of major equipment along with services, the market
12 pricing changes in favor of the provider. Other cost stresses in the market
13 include recent increases in bulk material costs for concrete, steel, and high
14 alloy metals.

15
16 As these cost increases, both actual and expected, relate to the construction of
17 a coal unit, I would note that in FPL's Report on Clean Coal Generation,
18 provided to the FPSC on March 10, 2005, the total installed cost of FGPP
19 (excluding transmission interconnection and integration) was estimated to be
20 \$3,200 million for 1,700 MW or \$1,880/kw. In our most recent Ten Year
21 Power Plant Site Plan 2006-2015 filing dated April 2006 the total installed
22 cost of FGPP (excluding transmission interconnection and integration) was
23 estimated to be \$3,500 million for 1,700 MW or \$2,050/kw. The current

1 estimate, when adjusted to exclude the transmission interconnection and
2 integration cost is \$4,982 million for 1,960 MW or \$2,542/kw. These
3 increases in cost are attributable to the various changes in the market
4 conditions that I have discussed and which are affecting the costs of all forms
5 of generation.

6 **Q. What are the bases for the cost estimates for the combined cycle units**
7 **against which FGPP was compared?**

8 A. The basis for the cost estimates for these combined cycle units are FPL's West
9 County Energy Center contracted costs with adjustments for escalation,
10 including adjustments for current labor and high alloy steels and metals
11 markets, site differences, including site development, land, and transmission
12 and integration.

13
14 The costs for a combined cycle plant also are increasing. Similar pricing
15 adjustments were observed when FPL developed its cost for the West County
16 Energy Center in 2005 when compared to the 2003 developed costs for the
17 Turkey Point Unit 5 Project. However, the impact to the overall cost is not as
18 dramatic. Mitigating factors include: (1) the percentage of construction labor
19 to the total project cost is less for a combined cycle plant than a pulverized
20 coal plant; (2) the pulverized coal plant involves a higher percentage of high
21 alloy steels and metals; and (3) the number of planned combined cycle plants
22 has significantly declined resulting in reductions in combustion turbine
23 pricing.

1 **Q. Please summarize your testimony.**

2 A. USCPC technology is the most mature technology when compared to CFB
3 and IGCC technologies. This technology provides FPL with the best
4 opportunity to meet its generation needs by 2013 with a solid-fuel option. The
5 FGPP installed-cost estimate upon which FPL's request for a determination of
6 need is based is reasonable. We have secured firm pricing for a majority of
7 the power plant costs, which would include the EPC, boiler, steam turbine and
8 pollution control equipment, with a portion of those costs subject to market
9 indices. FPL also has confirmed the reasonableness of the estimate through
10 the independent detailed review of the installed cost estimate for FGPP by an
11 outside engineering consultant who has concluded that the estimated cost of
12 FGPP is reasonable.

13 **Q. Does this conclude your direct testimony?**

14 A. Yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
FLORIDA POWER & LIGHT COMPANY
REBUTTAL TESTIMONY OF WILLIAM L. YEAGER
DOCKET NO. 070098-EI
MARCH 30, 2007

Q. Please state your name and business address.

A. My name is William L. Yeager. My business address is Florida Power & Light Company, Engineering and Construction Division, 700 Universe Boulevard, Juno Beach, Florida 33408.

Q. Did you previously submit direct testimony in this proceeding?

A. Yes.

Q. What is the purpose of your rebuttal testimony?

A. The purpose of my rebuttal testimony is to respond to the testimony of Mr. David A. Schlissel in which he asserts that FPL did not analyze the risk of increases in “the actual capital cost of completing FGPP and placing the generating units in commercial operation.”

Q. Do you agree with Mr. Schlissel’s contention that FPL did not analyze the risk of increases in “the actual capital cost of completing FGPP and placing the generating units in commercial operation”?

A. No. To the contrary, my direct testimony is quite clear that FPL not only recognized the risk of cost increases, but took significant steps to mitigate those risks. For example, as I testified in my direct testimony (Page 17, Line

1 10), "FPL secured firm pricing for three major pieces of equipment and the
2 EPC." By doing this, FPL has significantly reduced the risk of the types of
3 cost increases being experienced by similar projects throughout the country.

4 **Q. Does Mr. Schlissel's testimony address the impact that securing firm**
5 **pricing for three major pieces of equipment and the EPC has on cost**
6 **certainty?**

7 A. No, Mr. Schlissel misunderstood my testimony. Mr. Schlissel cites one
8 sentence from my testimony (page 17, lines 17-23) in his attempt to
9 demonstrate that, because the projected costs of building new coal plants have
10 increased dramatically over the past few years, the risks of increasing capital
11 costs had not been addressed. The partial quote relied upon by Mr. Schlissel is
12 as follows:

13 "The immense scope of this project, in the first instance, necessarily
14 limits the number of potential EPC contractors. Thus the EPC pricing
15 was based on an initial inquiry to three major contractors with coal
16 engineering, procurement and construction experience. In fact, the
17 results of this inquiry produced only one contractor with resources
18 available in sufficient quantity to handle a project of this magnitude in
19 the time frame required."

20 Immediately following that sentence, I make the statement that "FPL
21 promptly undertook to negotiate a market-competitive agreement for the EPC
22 services" and then proceed to explain FPL's approach to securing firm pricing
23 while obtaining a market-competitive outcome. As I describe in my direct

1 testimony, FPL clearly understood and considered the risk of increases in the
2 actual capital cost of completing FGPP and placing the generating units into
3 commercial operation. As a result, FPL took active steps to mitigate that risk
4 and, in contrast to many other utilities around the country, having anticipated
5 the need to secure firm pricing as a means to mitigate the risk of unexpected
6 cost increases, took the appropriate steps to do so.

7 **Q. Does this conclude your rebuttal testimony?**

8 **A. Yes.**

1 CHAIRMAN EDGAR: All right. Thank you
2 everyone, for your cooperation. And should we move to
3 Mr. Kosky?

4 MR. ANDERSON: Yes, please.

5 CHAIRMAN EDGAR: Mr. Guest, does that work for
6 you?

7 MR. ANDERSON: FPL would call as its next
8 witness Mr. Ken Kosky.

9 CHAIRMAN EDGAR: Okay.
10 Thereupon,

11 KENNARD F. KOSKY
12 was called as a witness on behalf of Florida Power &
13 Light Company and, having been duly sworn, testified as
14 follows:

15 DIRECT EXAMINATION

16 BY MR. ANDERSON:

17 Q. Mr. Kosky, have you been sworn as a witness?

18 A. Yes, I have.

19 Q. Will you please tell us your name and your
20 business address?

21 A. My name is Kennard Kosky, and my business
22 address is 6241 Northwest 23rd Street, Gainesville,
23 Florida, 32653.

24 Q. By whom are you employed, and in what
25 capacity?

1 **A.** I'm employed by Golder Associates, Inc., and
2 I'm a principal in the Gainesville office.

3 **Q.** Have you prepared and caused to be filed 21
4 pages of prefiled direct testimony in this proceeding?

5 **A.** Yes, I have.

6 **Q.** Do you have any changes or revisions to your
7 prefiled direct testimony?

8 **A.** No, I do not.

9 **Q.** If I asked you the same questions contained in
10 your prefiled direct testimony, would your answers be
11 the same?

12 **A.** Yes, they would.

13 MR. ANDERSON: FPL would ask that Mr. Kosky's
14 prefiled direct testimony be inserted into the record as
15 though read.

16 CHAIRMAN EDGAR: The prefiled direct testimony
17 will be entered into the record as though read.

18 BY MR. ANDERSON:

19 **Q.** You're sponsoring some exhibits to your direct
20 testimony?

21 **A.** Yes, I am.

22 **Q.** These are documents KFK-1 through KFK-7?

23 **A.** Yes, they are.

24 MR. ANDERSON: Madam Chairman, we would note
25 that Mr. Kosky's exhibits have been premarked for

1 identification as Numbers 39 through 45.

2 CHAIRMAN EDGAR: Thank you.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF KENNARD F. KOSKY**

4 **DOCKET NO. 07____-EI**

5 **JANUARY 29, 2007**

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

Q. Please state your name and business address.

A. My name is Kennard F. Kosky and my business address is 6241 NW 23rd Street, Suite 500, Gainesville, Florida 32653.

Q. By whom are you employed and what is your position?

A. I am employed by Golder Associates Inc., an engineering consulting firm specializing in ground engineering and environmental services. I am a Principal with the firm in the Gainesville office involved primarily in the environmental aspects of electric power plants.

Q. Please describe your educational background and professional experience.

A. I received a Bachelor of Science degree in engineering from Florida Atlantic University, and a Master of Science degree in environmental engineering from the University of Central Florida. I also completed one and half years of doctoral-level course work in the engineering Ph.D. program at the University of Florida.

1 Over the last 30 years my primary activities have involved the siting and
2 licensing of electric power plants. I have worked on over 50,000 megawatts
3 (MWs) of new and existing generation including conventional coal, oil and
4 gas-fired steam generating units, combined cycle units, integrated coal
5 gasification combined cycle (IGCC) units, simple cycle units, municipal solid
6 waste (MSW) fired units, biomass-fired steam generating units, and diesel
7 units. My primary technical activities have involved developing air
8 emissions, evaluating air pollution control technologies and performing air
9 quality impact evaluations of these facilities. A copy of my curriculum vitae
10 is attached as Document No. KFK-1 to my testimony.

11 **Q. Please describe any professional registrations or certifications that you**
12 **hold in your field of expertise.**

13 A. I am a registered Professional Engineer in mechanical engineering in the State
14 of Florida. I have been practicing as a registered Professional Engineer since
15 1976.

16 **Q. Could you please describe your responsibilities for FPL's Glades Power**
17 **Park?**

18 A. I had the overall responsibility for the preparation of the Site Certification
19 Application (SCA) for the FPL Glades Power Park (FGPP). I signed and
20 sealed the SCA as a Professional Engineer. I also had overall responsibility
21 for the preparation of the Prevention of Significant Deterioration (PSD)/Air
22 Construction Permit Application for FGPP and signed and sealed the
23 application as a Professional Engineer.

1 **Q. Are you sponsoring an exhibit in this case?**

2 A. Yes, I am sponsoring an exhibit consisting of seven documents, KFK-1
3 through KFK-7, which is attached to my direct testimony. This exhibit
4 provides some environmental comparisons of the FGPP and other power
5 facilities and is based upon FGPP information that is currently being reviewed
6 by the Florida Department of Environmental Protection (FDEP) and other
7 state and regional environmental agencies which have regulatory jurisdiction
8 concerning environmental, land use and other matters. The exhibit I am
9 sponsoring consists of the following documents:

- 10 ○ Document No. KFK-1, curriculum vitae of Kennard F. Kosky
- 11 ○ Document No. KFK-2, a comparison of the air emissions of FGPP
12 with existing generation technologies
- 13 ○ Document No. KFK-3, a comparison of the environmental impacts of
14 FGPP with regulatory standards
- 15 ○ Document No. KFK-4, a comparison of the air emissions of FGPP
16 with OUC Stanton Energy Center Unit B IGCC
- 17 ○ Document No. KFK-5, a comparison of the air emissions of FGPP
18 with AEP Mountaineer IGCC
- 19 ○ Document No. KFK-6, a comparison of the mercury emissions of
20 FGPP with EPA's New Source Performance Standards
- 21 ○ Document No. KFK-7, environmental compliance costs used in FGPP
22 Economic Analysis

1 **Q. Are you sponsoring any sections of the Need Study document?**

2 A. Yes. I am sponsoring the following sections of the Need Study document:
3 Section III.C. Environmental Controls, Section V. A. 3. Environmental
4 Regulations and Section V. A. 4. a. (iii) Environmental Compliance Costs.
5 Additionally, I sponsor Appendix F of the Need Study.

6 **Q. What is the purpose of your testimony?**

7 A. My understanding is that the Commission will consider and determine the
8 need for FGPP pursuant to the utility laws and regulations that it is
9 responsible for administering, which laws and regulations do not include
10 environmental regulation. However, electric power plants constructed in
11 Florida must comply with environmental regulations, and the costs of
12 compliance are part of the project. Accordingly, the purpose of my testimony
13 is to provide the Commission an overview of the key environmental aspects of
14 FGPP and of the environmental regulatory uncertainties, both of which affect
15 the cost of the project.

16
17 Based upon my training, experience and analysis conducted in relation to this
18 project, my testimony reaches and supports the following key conclusions: (i)
19 the selection of ultra-supercritical pulverized coal (USCPC) technology and
20 environmental controls for FGPP not only meets, but exceeds the extensive
21 environmental regulatory requirements; (ii) the technology selected for FGPP
22 is the best available alternative from an environmental perspective consistent
23 with maintaining fuel diversity; and (iii) the environmental compliance costs

1 evaluated by FPL to meet future environmental requirements reflect an
2 appropriate range of possible future costs, which fairly and reasonably takes
3 into account uncertainty concerning future environmental requirements and
4 costs.

5 **Q. How is your testimony organized?**

6 A. My testimony is divided into four sections. Section I provides an overview of
7 the major environmental requirements for FGPP. Section II presents
8 information on how FGPP's design will not only meet, but exceed these
9 requirements. In this section, I will also provide environmental comparisons
10 of FGPP with existing and other planned generation that demonstrates the
11 favorable environmental characteristics of FGPP, while contributing to fuel
12 diversity for customers in the timeframe required. Section III describes how
13 FGPP, from an environmental perspective, is the best alternative to meet the
14 fuel diversity need in FPL's system. Section IV describes the existing and
15 possible future environmental requirements and their potential influence on
16 future environmental compliance costs of FGPP. In this section, I will
17 describe how these existing and possible future environmental costs were
18 included in FPL's analysis.

1 **SECTION I: ENVIRONMENTAL APPROVALS AND REQUIREMENTS**

2

3 **Q. What are the environmental approvals applicable to FGPP?**

4 A. FGPP is required to obtain federal, state and regional environmental approvals
5 and permits. The principal environmental approval is Site Certification under
6 Florida's Power Plant Siting Act (PPSA). This is a comprehensive review of
7 all environmental aspects of FGPP coordinated through the FDEP and
8 involving all state and regional agencies with environmental responsibility
9 and those agencies potentially affected by FGPP. This includes, but is not
10 limited to, the FDEP, Florida Department of Community Affairs, Florida
11 Department of Transportation, Florida Fish and Wildlife Conservation
12 Commission, and the South Florida Water Management District (SFWMD).
13 This comprehensive environmental review evaluates FGPP's environmental
14 controls and determines compliance with applicable environmental standards.
15 This ultimately leads to a comprehensive analysis by agencies and Conditions
16 of Certification that set forth environmental requirements. FGPP will also
17 require federal and federally delegated permits. This includes an approval by
18 the U.S. Army Corp of Engineers for impacts to wetlands, a PSD/Air
19 Construction Permit by the FDEP, and an Underground Injection Control
20 Permit from the FDEP.

1 **Q. Please summarize the major requirements for the environmental**
2 **approvals of FGPP.**

3 A. The major requirements include (i) minimizing impacts to wetlands and
4 providing compensatory wetland mitigation; (ii) preventing adverse impacts to
5 fish and wildlife; (iii) using the lowest quality water and minimizing impacts
6 to surface and ground waters; (iv) installing Best Available Control
7 Technology (BACT) from an environmental regulatory perspective; and (v)
8 demonstrating that the air quality standards are met.

9 **Q. What is BACT?**

10 A. BACT is a technology standard administered by the FDEP pursuant to its PSD
11 program that establishes an emission rate for all regulated pollutants requiring
12 review. BACT cannot be any less stringent than any established emission
13 standard for new facilities and is generally the lowest emission rate that is
14 technically feasible for the specific type of facility. The FDEP ultimately
15 establishes BACT based on the information in the PSD/Air Construction
16 Permit Application and an evaluation of all recent similar projects in the U.S.
17 For a coal-fired power generation facility, the air emissions controls are
18 typically the most significant from a cost and environmental perspective.

19 **Q. What is the current status of obtaining environmental approvals?**

20 A. The SCA was submitted on December 22, 2006, and is currently under
21 review. The permit applications for the PSD/Air Construction Permit,
22 Underground Injection Control (UIC) Permit, and U.S. Army Corp of

1 Engineers wetlands permit were also submitted to the applicable agencies.
2 These applications are currently under review.

3 **Q. What are the general timeframes for approvals?**

4 A. The site certification approval process has the longest statutory timeframe and
5 generally takes about 14 months from submission of the application to
6 approval by the Governor and Cabinet as the Siting Board. However, the
7 approval of the site certification as well as individual permits can be
8 challenged and delay approval. Challenges within the PPSA process or a
9 challenge to the PSD/Air Construction Permit could delay approval due to
10 discovery and extended hearings. The amount of time required for challenges
11 is uncertain but historically has extended potential regulatory approvals by
12 many months and even years.

13

14 SECTION II: FGPP COMPLIANCE PLANS

15

16 **Q. What general features of FGPP serve to meet environmental**
17 **requirements?**

18 A. The FGPP site was selected at a location that provides the needed
19 infrastructure for fuel delivery and which also minimizes environmental
20 impacts. For example, the FGPP site is currently in agriculture that has
21 previously impacted the environment. The site includes sufficient land area to
22 provide mitigation for wetlands impacts. Water use effects will be minimized
23 by using excess stormwater from SFWMD canals and lower-quality water

1 from the Upper Floridan Aquifer. Water will be recycled as much as possible
2 and released using UIC wells. FGPP will not have industrial water discharges
3 to surface waters or groundwater that can impact the environment.
4 Byproducts will be recycled to the greatest extent practicable. Byproducts
5 that cannot be recycled will be placed in an area designed to have minimal
6 impacts to the environment. Air emissions from FGPP will be minimized by
7 use of the USCPC combustion technology selected by FPL and installation of
8 state-of-the-art air pollution control equipment.

9 **Q. Please explain briefly the technology proposed for FGPP that will**
10 **minimize air emissions.**

11 A. Minimizing air emissions involves two components. First, the higher energy
12 efficiency of the USCPC technology reduces the amount of fuel required and,
13 therefore, reduces the amount of air emissions per unit of energy produced.
14 FGPP will utilize two USCPC fired steam generators with a heat rate much
15 lower, meaning much more efficient, than nearly all coal-fired plants in the
16 U.S. Second, each USCPC unit will be installed with proven air pollution
17 control technology that, when combined together, will result in emissions that
18 are among the lowest in the U.S. for similar new facilities and result in among
19 the very lowest air quality impacts. The technology will include combustion
20 controls to minimize formation of nitrogen oxides (NO_x), carbon monoxide
21 (CO) and volatile organic compounds (VOCs), Selective Catalytic Reduction
22 (SCR) for further minimizing NO_x emissions, Fabric Filter to minimize
23 particulate matter (PM), a wet-limestone Flue Gas Desulfurization (FGD) to

1 minimize emissions of acid gases such as sulfur dioxide (SO₂), and a wet
2 Electrostatic Precipitator (ESP) to minimize particulate matter and aerosols.
3 Together these controls also minimize trace metals air emissions including
4 mercury. In addition, sorbent injection will be used to further enhance the
5 removal of mercury in the air pollution control systems. As explained below,
6 these technologies minimize air emissions to the greatest extent practicable,
7 which results in minimal environmental impacts.

8 **Q. Based upon your training, experience and analysis, have you concluded**
9 **whether the environmental controls planned for FGPP meet the**
10 **requirements of BACT?**

11 A. Yes. I conclude that the environmental controls planned for FGPP meet the
12 requirements of BACT. The emission rates proposed as BACT in the
13 application submitted meets all the regulatory requirements of a BACT
14 analysis as specified by the FDEP. Indeed the emission rates combined with
15 the heat rate of FGPP are lower than most recently permitted pulverized coal-
16 fired units in the U.S. Typical BACT emission limits are expressed in pounds
17 of air pollutant for a normalized amount of heat input or pounds per million
18 Btu. This measure does not take into account energy efficiency. Since FGPP
19 will be an ultra super-critical steam generation unit, it is more efficient than
20 conventional and many new units. Therefore, air emissions when taking into
21 account energy efficiency will be lower. It should be noted that the FDEP has
22 jurisdiction to determine that FGPP's environmental controls are BACT.

1 **Q. How do the air emission rates for FGPP compare with recent generation**
2 **projects in Florida?**

3 A. I prepared Document No. KFK-2 to show a comparison of the emission rates
4 established for some recent generation projects in Florida with those of FGPP.
5 The air emissions rates are shown in pounds per net megawatt-hour (MW-hr)
6 since, as I described previously, energy efficiency is an important criterion in
7 minimizing air emissions. I have included on this chart an existing IGCC
8 unit, a recent conventional pulverized coal unit, a recent Department of
9 Energy (DOE) clean-coal circulating fluidized bed coal-fired unit and a
10 natural gas-fired combined cycle unit. I included the latter for comparison
11 since much of FPL's new generation over the last five years has been natural
12 gas combined cycle. The air emissions presented in Document No. KFK-2 are
13 the primary regulated air pollutants and include NO_x, SO₂, and PM. As shown
14 in the document, the emissions of FGPP of NO_x and SO₂, while not as low as
15 natural gas combined cycle, will be much lower than recent coal projects. Of
16 course, adding additional natural gas generation would not result in reducing
17 the use of natural gas or in diversifying fuel sources for FPL's customers. For
18 PM, emissions of all technologies provide low air emissions rates with natural
19 gas combined cycle providing the lowest.

20 **Q. How will the emission rates proposed for FGPP affect air quality?**

21 A. The emissions rates will only minimally affect Florida's air quality. In fact,
22 the air quality impacts, which are the most important aspect in evaluating air
23 emissions, will not only meet all applicable requirements, but will not degrade

1 the air. I prepared Document No. KFK-3 to show the maximum impacts of
2 FGPP with respect to Florida's ambient air quality standards and the PSD
3 Increments. The ambient air quality standards were established to protect the
4 general public with an adequate margin of safety, while the PSD Increments
5 protect the air from degradation. As shown, the maximum impacts are a very
6 small fraction of the regulatory standards.

7 **Q. How do the emissions of FGPP compare with those of new IGCC units?**

8 A. I prepared two documents. Document No. KFK-4 shows the emission rates of
9 FGPP compared with the proposed Orlando Utilities Commission's (OUC)
10 Stanton Unit B IGCC unit. As shown in the chart, the emission rates for
11 FGPP will be lower for NO_x and higher for SO₂. The OUC unit is a nominal
12 270 MW. Document No. KFK-5 shows a comparison of FGPP with the
13 nominal 500-MW IGCC Mountaineer project being proposed by American
14 Electric Power. As shown in this document, the rates for FGPP will be lower
15 for NO_x and higher for SO₂. It should be noted that the emission rates shown
16 in Document No. KFK-5 are very low, and as I have stated earlier, FGPP will
17 fully comply with all air quality standards.

18 **Q. Will the emission rates of mercury from FGPP meet or be less than**
19 **regulatory standards?**

20 A. Yes. The emission rates of mercury from FGPP will be about one-half of the
21 latest and most stringent mercury emission standard recently established by
22 the Environmental Protection Agency (EPA). I have prepared Document No.

1 KFK-6, which shows the new EPA standard and the maximum emissions
2 proposed for FGPP.

3 **Q. Does FPL's environmental compliance plan for FGPP meet, or exceed,**
4 **the applicable environmental requirements?**

5 A. Yes. FPL's environmental compliance plan for FGPP will meet all applicable
6 environmental requirements and standards. Indeed, many of the
7 environmental designs will exceed (in this case I mean be better than), the
8 requirements and standards.

9 **Q. How does FPL's emission rates compare to other utilities?**

10 A. FPL's overall emission profile is low compared to all other utilities in the US.
11 In a study conducted by the National Resource Defense Council, FPL
12 emission rates in lb/MW-hour for SO₂, NO_x and CO₂ were found to be one of
13 the lowest in the country for fossil-fuel fired generation.

14 **Q. Will the emissions of FGPP change FPL's emission profile?**

15 A. No. FPL's emissions profile will not change and will likely be lower when
16 FGPP begins operation. For example, the NO_x emissions from FGPP on a
17 lb/MW-hour basis are four times lower than FPL's already low utility-wide
18 NO_x emission rate for fossil generation. In this case, the addition of FGPP
19 will improve FPL's low emissions profile. In fact, in 2015, FPL's rate of CO₂
20 emissions with FGPP would be trending downwards. The average rate of CO₂
21 emissions for the period 2015 through 2020 is expected to be 17.4% lower
22 than the period from 2000 through 2005.

1 **SECTION III: ENVIRONMENTAL CONSIDERATIONS OF ALTERNATIVE**
2 **GENERATION**

3
4 **Q. Are you familiar with the environmental aspects of possible generation**
5 **alternatives that are potentially available to provide FPL's generation**
6 **requirements in the 2013 and 2014 timeframe?**

7 A. Yes. Over the last several years I have been involved in the environmental
8 licensing of over 5,000 MW of natural gas-fired combined cycle plants. I
9 have been involved in the environmental feasibility and licensing of IGCC
10 since 1990. I have considerable experience, starting in the late 1970s, in
11 licensing conventional pulverized coal-fired facilities.

12 **Q. How does the design of FGPP compare with the other potential**
13 **generation alternatives from an environmental perspective?**

14 A. As I presented in Document No. KFK-2, a natural gas combined cycle plant
15 would have environmental advantages over other available technologies.
16 Natural gas is the cleanest combusting fossil fuel and can be efficiently used
17 in a combined cycle facility. While these facilities can be constructed in a
18 size to meet FPL's generation requirements for 2013 through 2014, the
19 continued use of natural gas does not contribute to fuel diversity in FPL's
20 system. The use of conventional pulverized coal-fired technology, while
21 reliable with proven pollution control technology, is less efficient than the
22 USCPC technology being proposed for FGPP. FGPP will combine proven,
23 demonstrated and reliable air pollution control technologies that will minimize

1 environmental impacts with the highly efficient USCPC technology. As I
2 have shown in Document Nos. KFK-2 and 3, the air emissions will be low and
3 the environmental impacts will be minimal. The use of IGCC technology, as I
4 have shown in Document Nos. KFK-4 and 5, does not have distinct
5 environmental advantages over USCPC technology. Moreover, there are no
6 existing or planned IGCC units or plants anywhere near the approximately
7 2,300 MW of generation capacity needed by FPL to serve its customers in the
8 2012 through 2015 timeframe. For these reasons, FPL's selection of USCPC
9 technology is the correct one from an environmental perspective, taking into
10 account the need for reliable production of large amounts of power from a
11 fuel-diverse generation source beginning in the 2013 through 2014 timeframe.

12 **Q. In your opinion, is FGPP the best available environmental choice to**
13 **achieve fuel diversity in the 2013 to 2014 timeframe?**

14 **A.** Yes. My opinion is based on the fact that FGPP will utilize available and
15 demonstrated generation and environmental control technologies. The
16 environmental controls have been proven to reduce air emissions resulting in
17 minimal potential environmental impacts.

1 **SECTION IV: FUTURE ENVIRONMENTAL CONSIDERATIONS**

2

3 **Q. What additional future environmental requirements will potentially be**
4 **applicable to FGPP?**

5 **A.** The EPA promulgated two major environmental regulations that will be
6 applicable to FGPP. These regulations are EPA's Clean Air Interstate Rule
7 (CAIR) and the Clean Air Mercury Rule (CAMR). CAIR establishes state
8 limits on annual and seasonal emissions on NO_x and annual emissions of SO₂.
9 The limits apply to 25 states, primarily in the eastern U.S., and the District of
10 Columbia (DC). The limits were established in two timeframes: NO_x - 2009
11 through 2014; 2015 and beyond, and SO₂ – 2010 through 2014; 2015 and
12 beyond. EPA's rule includes a cap-and-trade system that allows affected
13 facilities to meet the requirements through either the addition of control
14 technologies or acquisition of allowances through a market based system. The
15 cap-and-trade system in EPA's CAIR regulations is similar to the successful
16 Acid Rain Program referred to as Title IV that was initially developed through
17 the 1990 amendments of the Clean Air Act. In implementing CAIR, the EPA
18 allowed states to utilize model rules in implementing CAIR or develop
19 specific regulations to meet the requirements of CAIR. The FDEP has
20 adopted the EPA model rule that would allow the use of the national cap-and-
21 trade system.

1 EPA's CAMR regulations have two components. First, the EPA issued New
2 Source Performance Standards for the mercury emissions from new sources
3 like FGPP. As I have shown in Document No. KFK-6, FGPP will have a
4 mercury emission rate that is about one-half of the new EPA standards.
5 Second, EPA's CAMR established mercury emission limits on states, and
6 similar to CAIR, allows for a cap-and-trade program to meet requirements.
7 The state mercury emission limits start in 2010 and are reduced in 2018.
8 FDEP has established a hybrid rule that is more stringent than the EPA rule in
9 the 2010 through 2017 timeframe, and the EPA model rule in 2018. Florida
10 allows the use of the cap-and-trade program.

11 **Q. How will EPA's CAIR and CAMR regulations influence FGPP?**

12 A. FPL will be required to hold allowances for the actual emissions from FGPP
13 of NO_x, SO₂, and mercury. These allowances would have a potential
14 economic impact, since allowances must be obtained through a state pool or
15 the cap-and-trade system.

16 **Q. Did FPL consider the potential economic impacts of CAIR and CAMR?**

17 A. Yes. FPL utilized potential costs based on projections developed through a
18 comprehensive analysis of multiple factors involving air pollution control
19 costs, fuel utilization and market factors. These projections, while necessarily
20 having a range of uncertainty, are based on air pollution control costs and
21 experience from the Acid Rain Program (Title IV). The control technologies
22 for NO_x and SO₂ are well established and their cost can be estimated with
23 reasonable accuracy. The Acid Rain Program has been operating for a decade

1 and while there have been fluctuations in allowance costs, past projections
2 have been within the expected range. The cost estimates for mercury were
3 developed in a similar manner and also considered the fact that some states
4 will implement CAMR outside the model cap-and-trade system.

5 **Q. Are there any laws regulating CO₂?**

6 A. No, there are no current rules regulating CO₂.

7 **Q. Did FPL consider possible CO₂ regulations in the economic analysis of
8 FGPP? If so, how?**

9 A. Although there are no current laws regulating emissions of CO₂, FPL
10 considered the potential future regulation of CO₂ using projections developed
11 from federal legislative initiatives and the basic framework of the cap-and-
12 trade system. Over the last several years there have been federal legislative
13 initiatives that have proposed different forms of CO₂ regulation based on the
14 cap-and-trade system. These initiatives have included both multi-sector and
15 electric sector regulation with variable reductions of CO₂ emissions. These
16 federal legislative initiatives formed the bounds for the potential costs that
17 may occur in the future.

18 **Q. Please explain the range of compliance costs for the CAIR, CAMR and
19 potential CO₂ regulations that were included in the economic analysis of
20 FGPP.**

21 A. I prepared Document No. KFK-7, which shows the allowance costs in
22 nominal dollars used in the economic analyses for FGPP. The compliance
23 costs under the cap-and-trade system are based on the cost of allowances,

1 which is multiplied by the amount of allowances required for FGPP for the
2 specific pollutant. The allowance costs for NO_x, SO₂, mercury, and CO₂ are
3 shown in Document No. KFK-7. The allowance costs were based on
4 information from ICF International in a report titled "U.S. Emission & Fuel
5 Markets Outlook, 2006 edition." The ICF report provides allowance cost
6 forecasts that are based on integrated modeling of the electric, fuel and
7 environmental markets in the U.S. Four allowance cost scenarios were used
8 in the economic analysis of FGPP. These scenarios were: Scenario A –
9 Allowance Costs for SO₂, NO_x, and mercury, referred to as 3P (P in this case
10 means "Pollutant"); Scenario B – Allowance Costs for SO₂, NO_x, and
11 mercury, with low CO₂ allowance costs, referred to as 4P-mild; Scenario C –
12 Allowance Costs for SO₂, NO_x and mercury, with moderate CO₂ allowance
13 costs, referred to as 4P-medium; and Scenario D – Allowance Costs for SO₂,
14 NO_x, and mercury, with high CO₂ allowance costs, referred to as 4P-high.
15 The range of low, medium and high costs of CO₂ allowances that were used
16 are consistent with current legislative proposals being considered by Congress
17 and reflect the appropriate range of potential future allowance costs for CO₂.
18 The allocations of SO₂, NO_x, and mercury allowances were based on the
19 CAIR and CAMR rules developed by the FDEP. For CO₂ it was assumed that
20 100 percent of the required allowances would be purchased under a cap-and-
21 trade system similar to an auction.

1 **Q. In your opinion, are the allowance costs shown in Document No. KFK-7**
2 **and used in FPL's economic analysis, reasonable and appropriate future**
3 **environmental compliance costs?**

4 A. Yes. My opinion is based upon my training and experience, and my in-depth
5 review of FPL's economic analysis. I concluded that FPL considered
6 reasonable and appropriate environmental costs in the ranges that are
7 predicted to occur in the future. While there is, of course, considerable
8 uncertainty on what will actually be required in the future, the environmental
9 costs utilized were developed using known regulations for limiting NO_x, SO₂
10 and mercury, a range of legislative initiatives that are being considered for the
11 regulation of CO₂, environmental control costs that can be estimated with
12 reasonable accuracy, and market factors established by the cap-and-trade
13 program.

14 **Q. Please summarize your testimony.**

15 A. My testimony provides an overview of the key environmental aspects of
16 FGPP. My testimony demonstrates that the technologies selected for FGPP
17 that include USCPC technology and state-of-the-art air pollution control
18 equipment will meet or exceed the environmental regulatory requirements.
19 FGPP will have minimal environmental impacts. As a result, FGPP is the best
20 available alternative to maintain fuel diversity from an environmental
21 perspective. Future environmental regulations require consideration of
22 compliance costs. Cap-and-trade regulations required by the EPA have been
23 adopted by the FDEP for the future regulation of SO₂, NO_x and mercury

1 emissions. These regulations will require FPL to hold allowances with
2 associated costs for these pollutants. Regulation of CO₂ emissions has not
3 been implemented but is likely in the future. Together, the existing and
4 potential future environmental regulations have considerable uncertainty for
5 associated compliance costs. To address this uncertainty, a range of
6 compliance cost developed from integrated modeling of the electric, fuel and
7 environmental markets in the U.S. was used in the economic analyses
8 conducted for FGPP. The compliance costs used in the economic analysis
9 were an appropriate range of potential costs that reasonably encompasses the
10 uncertainty in future environmental compliance costs for FGPP.

11 **Q. Does this conclude your direct testimony?**

12 **A. Yes.**

1 BY MR. ANDERSON:

2 Q. Mr. Kosky, do you have a summary of your
3 testimony?

4 A. Yes, I do.

5 Q. Would you please provide it at this time.

6 A. Good afternoon, Madam Chairman and members of
7 the Commission. My name is Kennard Kosky.

8 Over the past 30 years, I've been an engineer
9 responsible for the evaluating and environmental aspects
10 of electric power generating projects. I've performed
11 projects in more than 28 states and 22 foreign countries
12 and have been involved in the construction and/or
13 operation of over 100,000 megawatts of electric
14 generating capacity.

15 Concerning FP&L's project in this proceeding,
16 I signed and sealed the site certification application
17 for the FPL Glades Power Park, FGPP, which is the
18 subject of this proceeding. I'm an independent
19 professional engineer responsible for directing and
20 managing all environmental compliance aspects of the
21 project.

22 My role today is to provide assurance that
23 FGPP will be environmentally compliant and that the
24 expected costs of environmental compliance have been
25 included and properly considered by FPL.

1 Here are some key points concerning FGPP.
2 FGPP will utilize highly efficient generating technology
3 combined with a suite of state-of-the-art air pollution
4 control equipment. The FGPP environmental controls are
5 based on proven and demonstrated technologies and will
6 result in the lowest air emission rates of any
7 pulverized coal plant in Florida, as well as one of the
8 lowest emission rates in the United States. FGPP will
9 also result in minimal impacts to the environment.

10 Concerning FGPP's environmental compliance, I
11 have shown in document number KFK-3 the maximum impacts
12 of FGPP compared to the regulatory standards. For ease
13 of reference today, I prepared a separate large chart
14 for each of the four emissions on document number KFK-3.

15 Let's look at the first chart, which is for
16 sulfur dioxide. The blue bar on the left of the chart
17 shows the ambient air quality standards for sulfur
18 dioxide. The ambient air quality standards were
19 developed by the United States Environmental Protection
20 Agency and adopted by the State of Florida to protect
21 public health and welfare and the environment with an
22 adequate margin of safety. The middle bar shown as a
23 mustard color represents what is called the prevention
24 of significant deterioration increments or PSD
25 increments. The PSD increments apply to new facilities

1 like FGPP and to modified facilities to protect air from
2 degradation. The next bar on the right shows the
3 maximum sulfur dioxide impacts of FGPP, also shown by
4 the arrow.

5 As you can see, the maximum impact of FGPP is
6 much lower than the environmental standards that will
7 apply to the plant. In fact, the maximum FGPP impacts
8 are more than 50 times lower than the ambient air
9 quality standards to protect public health and more than
10 17 times lower than the regulatory standards to protect
11 air from degradation.

12 The second chart shows the maximum impacts for
13 nitrogen dioxide. Again, you can see the blue bar for
14 the ambient air quality standard, and the next bar, the
15 mustard color, for the PSD increment. The right bar for
16 FGPP is much lower than the standards for nitrogen
17 dioxide. In this case, FGPP's maximum impacts are 145
18 times less than the public health standard and 36 times
19 less than the degradation standard.

20 Shown on the next chart are the maximum
21 impacts for particulate matter. Again, the right-hand
22 bars for FGPP with the arrow are much lower than the
23 regulatory standards for particulate matter that protect
24 health and air quality.

25 The final chart shows the very low impacts of

1 FGPP for carbon monoxide. For this air emission as well
2 as others, the maximum impacts of FGPP are well below
3 the standards to protect public health, welfare, and the
4 environment, and those standards that ensure that our
5 air remains clean.

6 I've also evaluated the maximum impacts from
7 mercury, which are so small as to be measurable. Those
8 results are in a chart I submitted in my rebuttal
9 testimony, and I wish to review those at that stage of
10 the hearing.

11 In conclusion, I thought it might be of
12 benefit to the Commission to know that taken together,
13 the efficiency of the ultra-supercritical technology,
14 the state-of-the-art environmental controls, proposed
15 emission levels, and the environmental impacts, FGPP
16 will be the cleanest solid fuel fired power plant that
17 I've seen in my career and that I'm aware of in the
18 electric utility industry. Thank you.

19 MR. ANDERSON: Mr. Kosky is available for
20 cross-examination.

21 CHAIRMAN EDGAR: Mr. Beck.

22 MR. BECK: Thank you, Madam Chairman.

23 CROSS-EXAMINATION

24 BY MR. BECK:

25 Q. Good evening, Mr. Kosky.

1 **A.** Good evening.

2 **Q.** Could you turn to your Exhibit 7, page 5 of 5?

3 **A.** Sure.

4 **Q.** That exhibit shows projected environmental
5 compliance costs for carbon taxes, does it not?

6 **A.** It shows environmental compliance costs for
7 actually four pollutants, sulfur dioxide, nitrogen
8 oxides, mercury, and carbon dioxide.

9 **Q.** But page 5 of 5 is just carbon dioxide
10 environmental compliance costs, is it not?

11 **A.** Yes, page 5 of 5 are.

12 **Q.** And you have -- four different scenarios are
13 included in your graph; is that right?

14 **A.** Four different scenarios of potential costs
15 are presented; that's correct.

16 **Q.** And the A scenario is the scenario where there
17 will be no carbon taxes or cap-and-trade system in place
18 at any time through the life of the plants; is that
19 right?

20 **A.** Yes, in that scenario, there is no carbon tax.

21 **Q.** And so the A scenario simply shows a straight
22 line along the zero axis; is that right?

23 **A.** That's correct.

24 **Q.** Okay. And then the B scenario is the low
25 carbon tax; is that right? And when I say carbon tax, I

1 include cap and trade in that.

2 **A.** Cap and trade, we called it a mild cost of CO₂
3 credits or allowances.

4 **Q.** And what is the C scenario?

5 **A.** The C scenario was a moderate.

6 **Q.** And the D?

7 **A.** And D was the more stringent.

8 **Q.** And these scenarios were provided to you by a
9 firm named ICF International; is that correct?

10 **A.** Yes. These were developed by ICF
11 International in a report that they prepared related to
12 the allowances of all the pollutants that I had
13 mentioned, sulfur dioxide, nitrogen oxides, mercury,
14 which are currently regulated or will be regulated.
15 There are regulations for those, and potential costs for
16 carbon dioxide.

17 **Q.** And FPL has a witness coming on later who will
18 be able to talk about the forecasts provided by ICF, do
19 you not?

20 **A.** Yes. Mr. Rose will be presenting more detail
21 on their specific analysis.

22 MR. BECK: Thank you. That's all I have.

23 CHAIRMAN EDGAR: Mr. Guest.

24 MR. GUEST: Just a few questions to clarify.

25

CROSS-EXAMINATION

1
2 BY MR. GUEST:

3 Q. You don't have a Clean Air Act permit, do you,
4 for this plant?

5 A. No. That's currently under review by the
6 Department of Environmental Protection.

7 Q. They've actually -- also, the Department has
8 asked you to consider the IGCC option in connection with
9 air pollution issues, has it not?

10 A. I don't think that's correct. They had a
11 question related to information that Florida Power &
12 Light developed in its proposal for the
13 ultra-supercritical technology. And in fact, Mr. Hicks
14 testified as to that particular report, and that
15 information was submitted to the Florida Department of
16 Environmental Protection.

17 Q. The superintendent of the Everglades National
18 Park has objected strenuously to the issuance of an air
19 permit for this facility, has he not?

20 A. That's not correct.

21 Q. Well, please correct me.

22 A. I'll be happy to. The National Park Service
23 has provided actually two comment letters to the Florida
24 Department of Environmental Protection basically asking
25 for more information. In the first letter, they had

1 particular concerns, which we addressed to the Florida
2 Department of Environmental Protection in what's called
3 their completeness determination. They reviewed that
4 information. They had some additional questions, which
5 they supplied in another letter, and we are currently
6 meeting with the National Park Service to address their
7 technical concerns regarding any analyses or impacts
8 that might occur.

9 Q. So are you saying that the status of things
10 right now is that the National Park Service, that the
11 superintendent of the Everglades National Park is
12 neutral or in favor of this plant?

13 A. Well, I think that they right now are
14 evaluating information. They justifiably had some
15 interest in the potential impacts and expressed those
16 twice, and we provided information, for example, in the
17 first letter, in which we fully addressed many of their
18 concerns. In fact, their second letter was essentially
19 acknowledging that now they understood some of the
20 things about the project. So it's an ongoing process.

21 Q. I notice that you don't have anything about
22 mercury here in the exhibits that you've handed out
23 here. Is there a reason for that?

24 A. In the exhibits that I handed out?

25 Q. Yes. You talk about some parameters, you

1 know, sulfur dioxide, small particles, nitrogen dioxide,
2 carbon monoxide. You didn't include mercury.

3 **A.** Mercury does not have an ambient air quality
4 standard, nor does it have a degradation or clean air
5 standard. However, in my direct testimony, I provided
6 document number KFK-6, which showed the emission rates
7 of FGPP compared to the latest new source performance
8 standards that were promulgated by EPA as of June 2006.
9 In fact, the emission rate proposed by FGPP is one half
10 the more recent standard that EPA had promulgated.

11 In my rebuttal testimony, I do present
12 information more detailed on mercury.

13 CHAIRMAN EDGAR: Mr. Guest, can I jump in with
14 a question?

15 MR. GUEST: Sure.

16 CHAIRMAN EDGAR: Referring back to a question
17 or so ago that Mr. Guest was asking, I guess, Mr. Kosky,
18 in your experience or opinion, does a superintendent of
19 a national park have the authority to speak on behalf of
20 the National Park Service as far as comments on a
21 proposed permit?

22 THE WITNESS: Yes. They are the federal land
23 manager of the class 1 area, the Everglades National
24 Park, and they evaluate what's called the air quality
25 related values of the park. Typically it's the impacts

1 on sensitive species and deposition. We supplied a
2 considerable amount of information to the park, as well
3 as other analyses, and in fact, that's still ongoing
4 related to the review of the air construction permit by
5 the Florida Department of Environmental Protection.

6 CHAIRMAN EDGAR: And so -- and I'm just trying
7 to refresh my memory as to the process, the federal
8 agency review process of a proposed permit to be issued
9 by the environmental state agency. Would the
10 superintendent then of a national park that has the
11 potential to be impacted, in this case, Everglades
12 National Park, would it be the superintendent that would
13 be issuing comments, the agency review comments?

14 THE WITNESS: He would be reviewing comments
15 to the Florida Department of Environmental Protection.
16 It may also be through the Department of Interior.

17 CHAIRMAN EDGAR: Thank you.

18 MR. GUEST: Thank you for that clarification.

19 BY MR. GUEST:

20 Q. So you're aware, are you not, that a number of
21 parties have joined the issue in the Power Plant Siting
22 Act process that goes before the administrative law
23 judge and that the matter of compliance with the Clean
24 Air Act is one of the issues in play?

25 A. Yes, I'm aware of that.

1 MR. GUEST: No further questions.

2 CHAIRMAN EDGAR: Mr. Krasowski, do you have
3 questions on cross?

4 MR. KRASOWSKI: Yes. Thank you.

5 CROSS-EXAMINATION

6 BY MR. KRASOWSKI:

7 Q. Hi, Mr. Kosky. I happen to have that letter
8 from the Park Service here, and they express concern and
9 do ask questions about IGCC.

10 But let me ask you, this whole issue of
11 environmentalism, do I understand correctly that you're
12 here today to speak to how this project will comply with
13 existing rules as far as emissions, EPA rules?

14 A. Emissions as well as the ambient air quality
15 standards, the PSD increments. The foundation of this
16 starts in 1970 with the Clean Air Act Amendments, and
17 that has been the foundation of air quality management,
18 as it were, in the United States since that time.

19 Q. But you're not here on the broader scale,
20 comprehensive commentary on environmental impacts as far
21 as -- you've avoided mercury as an issue for the reasons
22 you've stated, but there's mercury in the fish, and this
23 contributes to more mercury, this project, and then also
24 the global warming is a big environmental -- do you
25 believe in global warming?

1 MR. ANDERSON: Chairman Edgar, we have
2 multiple questions and a mischaracterization of avoiding
3 mercury, so perhaps if we were to --

4 MR. KRASOWSKI: Apologies for doing that.
5 I'll try to clear that up.

6 BY MR. KRASOWSKI:

7 Q. Okay. So maybe you didn't avoid mercury, but
8 you explained. You explained yourself that mercury is
9 not included in your handout because it isn't under the
10 same -- well, could you restate that? Why isn't mercury
11 included in your handout?

12 A. Well, we submitted a site certification
13 application that has environmental impacts, evaluations
14 on mercury. We've provided additional information.
15 It's probably close to three or four feet deep.

16 My purpose here today was really to provide
17 the Commission information relative to the basic
18 structure of environmental controls for FGPP that are
19 included to comply with the environmental requirements,
20 as well as to look at the regulations that are currently
21 adopted by the DEP for mercury, sulfur dioxide, and
22 nitrogen dioxide, as well as the potential for any
23 future regulation, which it hasn't been so far, of
24 carbon dioxide.

25 Q. Okay. I guess I just wanted to clear up the

1 point that your comments here are bracketed by the
2 relevancy of this body's relationship to the
3 environmental impacts, economic environmental impacts of
4 the project, not environmental concerns.

5 **A.** Correct. The venue for that would be through
6 the Florida Department of Environmental Protection,
7 which will have a public hearing related to those
8 aspects. My purpose today was to provide the Commission
9 with a overview of the environmental controls, as well
10 as in the charts that I've shown, the very low impacts,
11 for which we haven't had any concern or comments related
12 to those from DEP of the project.

13 **Q.** But you're not here to speak of the inadequacy
14 of these standards and controls in terms of their impact
15 on global climate change; is that a correct statement?

16 **A.** Well, first, there's --

17 **MR. ANDERSON:** I would just interpose that
18 that's way beyond the scope of our hearing tonight, and
19 we're getting late.

20 **MR. KRASOWSKI:** Madam Chair --

21 **CHAIRMAN EDGAR:** Mr. Krasowski.

22 **MR. KRASOWSKI:** Excuse me for interrupting.
23 You had something to say.

24 **CHAIRMAN EDGAR:** You may. I was going to
25 comment that there are numerous hearings ongoing around

1 town, the state, the nation, and the world on global
2 warming, and we're probably not going to solve it this
3 evening. And I didn't mean that to be disrespectful, by
4 the way, but we're not going to solve it this evening.
5 So I would ask you to keep your questions pointed to the
6 testimony of this witness.

7 MR. KRASOWSKI: That was my final question,
8 and all I was hoping to make clear was that -- was to
9 ask Mr. Kosky if he would agree that his testimony here
10 today did not go outside of the purview of the economic
11 environmental points to this body and did not even
12 attempt to address the broader issue of what might be
13 the inadequacies of these standards to address broader
14 environmental issues.

15 BY MR. KRASOWSKI:

16 Q. Is that correct, Mr. Kosky? You're not here
17 to speak about -- did I do it again? Okay. Well, I'll
18 end there then.

19 CHAIRMAN EDGAR: You did.

20 MR. KRASOWSKI: I'll stop.

21 CHAIRMAN EDGAR: However, with the
22 clarification, I'm going to allow the witness to
23 respond.

24 A. Well, first, my testimony did address
25 potential regulations of CO₂, and in fact, in my

1 rebuttal testimony, I provided more information to the
2 Commission.

3 The one thing, as testified by Mr. Hicks, as
4 well as my opinion, is the fact that FGPP does address
5 CO₂ or climate change potential by the efficiency. It
6 will be the most efficient power plant in the country.

7 As far as the other particular pollutants that
8 I've shown on the charts, these particular standards are
9 developed through peer review, independent, by EPA,
10 established initially in 1970. They rereview these
11 standards to protect health and welfare. So there isn't
12 any inadequacy related to the air standards that I'm
13 presenting. These are actually evaluated by EPA on a
14 regular basis, and in fact, made more stringent as
15 necessary. In fact, there are some more stringent
16 standards being developed and have been developed for
17 pollutants all the time.

18 MR. KRASOWSKI: Thank you, Mr. Kosky.

19 CHAIRMAN EDGAR: Thank you. And I'll note
20 that Mr. Kosky will be back, so you can maybe try again,
21 Mr. Krasowski.

22 Are there questions from staff?

23 MS. BRUBAKER: None from staff.

24 CHAIRMAN EDGAR: None from staff.

25 Mr. Anderson.

1 MR. ANDERSON: We have no redirect. We would
2 offer Exhibits 39 to 45. If we could pause for a
3 second.

4 Please pardon my confusion. Nothing about
5 redirect, just some points of order. We wanted to make
6 sure that we offered Exhibits 39 to 45, which are
7 Mr. Kosky's exhibits.

8 CHAIRMAN EDGAR: And that's what we would be
9 doing next.

10 MR. ANDERSON: Exactly. The other thing was,
11 we just wanted to confirm that Mr. Yeager's direct and
12 rebuttal was entered into record. I know I offered the
13 exhibits and they were admitted, but with the prior
14 witness, we wanted to make sure that that was entered
15 in.

16 CHAIRMAN EDGAR: Okay. I think that we did
17 that. Ms. Brubaker?

18 MS. BRUBAKER: Yes, that's my recall also.

19 MR. ANDERSON: And those were the points.

20 CHAIRMAN EDGAR: That's fine. That's fine.

21 MR. ANDERSON: Thank you very much.

22 CHAIRMAN EDGAR: It's late. I do not mind
23 being asked to double-check.

24 Okay. So Exhibits 39 through 45 will be
25 entered into the record.

1 (Exhibits 39 through 45 admitted into the
2 record.)

3 CHAIRMAN EDGAR: And, Mr. Kosky, you are
4 excused until we will see you again for rebuttal. Thank
5 you very much.

6 And I think we can keep going with one more
7 witness if --

8 MR. ANDERSON: Good.

9 CHAIRMAN EDGAR: -- everybody is up to it.

10 MR. GUEST: Your Honor, I am flat dog tired.
11 I truly am.

12 CHAIRMAN EDGAR: I understand. Does that mean
13 you would like a break, or are you offering that we
14 adjourn for the evening?

15 MR. GUEST: It would be my hope that you might
16 do that, adjourn for the evening, like right now.

17 CHAIRMAN EDGAR: Note that one of the reasons
18 we were pushing forward was to make sure that we got to
19 your witnesses tomorrow. However, realizing that we
20 were able to stipulate Mr. Yeager, and then we have
21 Mr. Sim. The next four witnesses, as pointed out
22 earlier, will be stipulated, have been agreed to be
23 stipulated, and their testimony will be entered in when
24 we come to that. That then leaves just Mr. Furman and
25 Mr. Plunkett, and then Mr. Schlissel's testimony and

1 exhibits to be entered. And I guess this is more for my
2 benefit than anybody else's to see where we are. So is
3 there -- Mr. Litchfield.

4 MR. LITCHFIELD: Madam Chairman, I was going
5 to note that I think if we were to take Mr. Sim, we
6 stand a reasonable chance of finishing tomorrow. I
7 think if we don't take him up, those chances diminish
8 significantly.

9 My understanding -- and maybe it has changed,
10 but my understanding was that counsel for the Sierra
11 Club had few, if any, questions for Mr. Sim on his
12 direct testimony, but they had some on his rebuttal.
13 He's only going to be sponsoring or addressing his
14 direct testimony right now. So depending on the number
15 of questions from other parties, we may not talking
16 about very much time in order to get through Mr. Sim
17 this evening, at least on his direct.

18 MR. KRASOWSKI: Madam Chair --

19 CHAIRMAN EDGAR: Hold on. Yes, Ms. Brubaker.

20 MS. BRUBAKER: I would like to note that we do
21 have some cross for Mr. Sim. Depending on how quickly
22 we can get through it, I would estimate between 20 and
23 30 minutes, however. So --

24 CHAIRMAN EDGAR: Well, there you have it.

25 MS. BRUBAKER: I don't wish to be the sticky

1 thorn, but I didn't want to be ignored either.

2 CHAIRMAN EDGAR: That's not a label that I
3 would use, Ms. Brubaker.

4 Okay. Yes. Who else? Mr. Krasowski, yes,
5 sir.

6 MR. KRASOWSKI: I just wanted to mention that
7 Ms. Brubaker won't be the only sticky thorn. I as well
8 had some questions of Mr. Sim, but don't want to keep
9 the gentlemen up any --

10 CHAIRMAN EDGAR: I understand. I understand.
11 I appreciate you working with us.

12 Mr. Litchfield, nice try. Thank you.

13 Okay. We will go on break. I know it's been
14 a long day, and we will be back at 9:30 in the
15 morning. We are done for the day.

16 (Proceedings recessed at 6:10 p.m.)

17 (Transcript follows in sequence in Volume 8.)

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER


STATE OF FLORIDA:

COUNTY OF LEON:

I, MARY ALLEN NEEL, Registered Professional Reporter, do hereby certify that the foregoing proceedings were taken before me at the time and place therein designated; that my shorthand notes were thereafter translated under my supervision; and the foregoing pages numbered 862 through 1084 are a true and correct record of the aforesaid proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, or financially interested in the foregoing action.

DATED THIS 26th day of April, 2007.


MARY ALLEN NEEL, RPR, FPR
2894-A Remington Green Lane
Tallahassee, Florida 32308
(850) 878-2221