

I N D E X

WITNESSES

3	NAME	PAGE
4	JOHN J. PLUNKETT	
5	Direct Examination by Mr. Gross	1395
	Prefiled Direct Testimony Inserted	1398
6	Cross-Examination by Mr. Krasowski	1416
	Cross-Examination by Ms. Perdue	1432
7		
8	RICHARD C. FURMAN	
	Direct Examination by Mr. Guest	1444
9	Prefiled Direct Testimony Inserted	1448
	Prefiled Supplemental Direct Testimony Inserted	1477
10	Cross-Examination by Mr. Krasowski	1506
	Cross-Examination by Ms. Perdue	1508
11	Cross-Examination by Mr. Anderson	1509
	Redirect Examination by Mr. Guest	1528
12		
13	JUDAH L. ROSE	
	Direct Examination by Mr. Litchfield	1557
14	Prefiled Rebuttal Testimony Inserted	1560
	Cross-Examination by Mr. Beck	1587
15	Cross-Examination by Mr. Gross	1596
	Redirect Examination by Mr. Litchfield	1606
16		
17	CERTIFICATE OF REPORTER	1625

18

19

20

21

22

23

24

25

EXHIBITS

	NUMBER	ID.	ADMTD.
1			
2			
3	93 through 121		1541
4	122 JJP-1		1443
5	123 JJP-2		1443
6	124 JJP-3		1443
7	125 JJP-4		1443
8	126 through 129		1616
9	147		1613
10	162		1549
11	163		1555
12	165		1555
13	185 Glades IGCC Costs Without AFUDC	1547	1547
14	190 Deposition of John J. Plunkett	1443	1443
15	191 Taylor Energy Center, Coal Power Plant Alternatives, PC versus IGCC	1513	1556
16	192 Deposition of Richard C. Furman	1542	1550
17	193 Deposition of David A. Schlissel	1543	1549
18	194 Redacted Excerpt from ICF Emission Markets Outlook	1591	1613
19			
20	195 Page 142 from ICF Emission Markets Outlook	1593	1613
21			
22	196 Excerpt from The Future of Coal	1597	
23			
24			
25			

P R O C E E D I N G S

1
2 (Transcript follows in sequence from
3 Volume 9.)

4 CHAIRMAN EDGAR: We will go back on the record
5 from lunch break.

6 And I am a little confused, because I thought
7 that we were going to take up Mr. Plunkett and work
8 through his testimony.

9 MR. GUEST: Well, the practical problem, Madam
10 Chairman, is that his son is by himself in Vermont, and
11 he's got to get out of Dodge. We had anticipated based
12 on what we heard yesterday that he would be able to do
13 that. He has to absolutely catch his flight. We
14 anticipate that we'll be -- now we're running so late
15 that there's, I don't think, much possibility -- we
16 probably aren't even going to get done with Mr. Furman
17 now, and he's the next guy in the batting order. So
18 Mr. Plunkett has been kind enough to say that he'll make
19 himself available whenever the next date is, and we'll
20 keep the batting order.

21 CHAIRMAN EDGAR: Okay. So what you're
22 proposing is to take up Mr. Furman now and then go on to
23 rebuttal and come back to Mr. Plunkett on Monday? Is
24 that your proposal?

25 MR. GUEST: No. I think actually -- my

1 belief, based on the way things have been going, is that
2 we're not going to get through Mr. Furman today. We
3 might, but I'm guessing no. I mean, we had anticipated
4 20 minutes or so for Mr. Sim, and --

5 CHAIRMAN EDGAR: Okay. I understand. You've
6 raised that a number of times, but this is where we are
7 now. So again, what you are requesting is to take up
8 Mr. Furman and then move to Mr. Hicks after that and to
9 take up Mr. Plunkett at some point on Monday; is that --

10 MR. GUEST: If it's necessary, yes. If the
11 cards play that way, yes, but -- I mean, if that's --

12 CHAIRMAN EDGAR: Well, I think that that --
13 Mr. Anderson, do you have an alternate proposal or
14 request or not?

15 MR. ANDERSON: Yes, we do. Yes, we do,
16 Chairman Edgar. Florida Power & Light Company is
17 prepared to examine Mr. Plunkett. It would not be very
18 extensive, perhaps 20 minutes. That would be one
19 choice.

20 Another choice would be, if he needs to go,
21 which that's fine, we are willing to accept a
22 stipulation of his deposition into the record, and
23 respecting that, in our view, he could go.

24 CHAIRMAN EDGAR: Mr. Krasowski, I'm sorry. I
25 may have asked you this already, and I apologize if I

1 have. So either for the first time or the second time,
2 let me pose this question to you. Do you have questions
3 for Mr. Plunkett?

4 MR. KRASOWSKI: Yes. I have quite a few
5 questions.

6 CHAIRMAN EDGAR: And that is what I asked
7 previously, isn't it?

8 MR. KRASOWSKI: That's right.

9 CHAIRMAN EDGAR: And I apologize to both
10 gentlemen --

11 MR. KRASOWSKI: Well, I volunteered that for
12 you.

13 CHAIRMAN EDGAR: -- for confusing Furman and
14 Plunkett occasionally in my mind. My apologies to both
15 of them.

16 Okay. Then what I would like to do is take up
17 Mr. Plunkett and let's see if we can move through it and
18 see where we are. I also have been trying to rearrange
19 things, and I can stay later than I had said yesterday,
20 which is an inconvenience to me as well. However, in
21 the abundance of all of us trying to work together and
22 move through what we need to in an orderly way, that is
23 my request.

24 MR. GUEST: May I add an additional fact to
25 the mix, Madam Chairman? I think he has to leave for

1 his plane at 2:30, which is 40 minutes from now.

2 CHAIRMAN EDGAR: Mr. Guest, we are all trying
3 to work together. There are numerous planes out of
4 Tallahassee.

5 MR. GUEST: The first thing we did was check,
6 and that is the last one that gets him home, and his
7 12-year-old is home alone.

8 CHAIRMAN EDGAR: He should have brought him.

9 MR. GUEST: You know, that would have been a
10 great idea, and we should have. And I'm feeling remorse
11 that my son is not here, frankly.

12 CHAIRMAN EDGAR: I did say earlier in the
13 proceeding that anybody was welcome to bring their
14 children, please note, and we would have welcomed both
15 of them, I assure you.

16 MR. KRASOWSKI: Madam Chair.

17 CHAIRMAN EDGAR: Mr. Krasowski. You could
18 have brought your children too.

19 MR. KRASOWSKI: I wish I would have brought my
20 son.

21 CHAIRMAN EDGAR: Me too.

22 MR. KRASOWSKI: He's probably just hanging
23 around at home doing nothing. He's in college. Aside
24 from that, though -- and I sincerely wish I did.

25 I think Mr. Plunkett is a very important

1 witness, and I wouldn't want to see his
2 cross-examination and comments being abbreviated due to
3 his urgency to get home or whatever, so I would
4 certainly favor having him come back and deal with
5 Mr. Furman if that's at all possible.

6 CHAIRMAN EDGAR: I understand. Thank you,
7 Mr. Krasowski.

8 All right. My preference, quite frankly,
9 would be to take up Mr. Plunkett as I have expressed.
10 However, we do try to recognize all needs and the whole
11 person here, truly. So I will expect to see
12 Mr. Plunkett on Monday.

13 MR. GUEST: All right.

14 CHAIRMAN EDGAR: Mr. Plunkett?

15 MR. GUEST: Okay. So we'll just do both.

16 (Counsel conferring.)

17 MS. SMITH: Can we just try to get through it,
18 Madam Chairman? We have very, very little. We can move
19 very quickly.

20 MR. KRASOWSKI: And they said they had --
21 excuse me, Madam Chairman. FPL said they had 20
22 minutes, and I have some questions, and I suppose others
23 might. You'll ask. And you might have questions for
24 Mr. Plunkett. And if he has to leave at 2:30, I mean,
25 we don't have time to do that properly. And he has a

1 lot to say. Well --

2 MR. GUEST: Let me see if I can buy some more
3 time.

4 MS. SMITH: Madam Chairman.

5 CHAIRMAN EDGAR: Yes, ma'am.

6 MS. SMITH: I would ask that we learn how much
7 of the examination by Mr. Krasowski is friendly
8 cross-examination as opposed to inquiring about
9 Mr. Plunkett's testimony. Mr. Guest did tell us during
10 the lunch break that he was working with Mr. Krasowski
11 to try and limit what he called Mr. Krasowski's redirect
12 of Mr. Plunkett. Certainly friendly cross-examination
13 would be irrelevant, immaterial, and unduly repetitious
14 evidence, and therefore immaterial -- inadmissible,
15 sorry, under the APA.

16 MR. KRASOWSKI: Madam Chair, may I speak?

17 CHAIRMAN EDGAR: Actually, truthfully, I think
18 it's best if we all not right now.

19 I will point out that Mr. Krasowski is here
20 pro se, that as such, there is some latitude in his
21 questioning. However, I will also point out that as
22 with every proceeding, and this one is certainly no
23 exception, I have made the request to limit friendly
24 cross, and if that will not be done mutually by the
25 parties, then it will be done by me.

1 Now, Mr. Guest, we are all glad that
2 Mr. Plunkett has joined us. I have, as you may all
3 know, a special place in my heart for children not being
4 left alone without their parents. I am trying to work
5 with you and accommodate. However, it does seem to be a
6 moving target a bit. So what do we need to do?

7 MR. GUEST: Well, I would propose let's just
8 give it a whirl, and when we get to the time where he's
9 got to bolt off to his plane, let's address whatever
10 needs to be addressed then, and we'll do the best we
11 can.

12 CHAIRMAN EDGAR: We'll give it a try.
13 Mr. Plunkett, thank you for bearing with us, and please
14 join us.

15 MR. KRASOWSKI: Madam Chair.

16 CHAIRMAN EDGAR: Yes, sir.

17 MR. KRASOWSKI: Madam Chair, I want to express
18 this in appropriate terms, but I do not identify
19 whatsoever with the accusation that I am being managed
20 to any degree by Mr. Guest or anybody in his party. My
21 being here is a direct result of the way they're
22 approaching this case and the things they're advocating
23 for. So Mr. Plunkett is not a friendly witness, but he
24 is someone who -- through his testimony is identified as
25 somebody who might be knowledgeable and able to

1 illuminate what we've not been able to uncover yet far,
2 so far. So thank you, Madam Chair.

3 CHAIRMAN EDGAR: Thank you. I appreciate your
4 comments, and I note them for the record.

5 MS. PERDUE: Madam Chair, just so you know
6 also, we have questions for this witness as well.

7 CHAIRMAN EDGAR: Thank you.

8 Okay. Mr. Plunkett, you need to be sworn, so
9 when you are settled in, if you would, stand with me and
10 raise your right hand. Thank you.

11 MR. GROSS: I just want to say good afternoon,
12 Madam Chair and Commissioners Carter and McMurrian.
13 Thereupon,

14 JOHN J. PLUNKETT

15 was called as a witness on behalf of The Sierra Club,
16 Inc., et al. and, having been duly sworn, testified as
17 follows:

18 DIRECT EXAMINATION

19 BY MR. GROSS:

20 Q. Mr. Plunkett, will you please state your full
21 name and business address.

22 A. John J. Plunkett. I'm a partner in Green
23 Energy Economics Group. My business address is 1002
24 Jerusalem Road, Bristol, Vermont.

25 Q. And on whose behalf are you here to testify

1 today?

2 **A.** I'm here on behalf of The Sierra Club, Save
3 Our Creeks, Florida Wildlife Federation, Environmental
4 Confederation of Southwest Florida, and Ellen Peterson.

5 MR. GROSS: I just want to add that we also
6 have been retained by the NRDC, who intervened late in
7 the proceeding.

8 BY MR. GROSS:

9 **Q.** Did you cause to be filed direct testimony on
10 March 16th, including exhibits JJP-1 through 4, in this
11 docket?

12 **A.** Yes.

13 **Q.** Do you have any questions -- any corrections
14 or revisions to your testimony?

15 **A.** Yes, one. On page 7, line 6, there is an
16 extra zero in 20011. That should be 20 -- 2011, not
17 20011.

18 **Q.** Okay. If I asked you the very same questions
19 posed in your testimony today, would your answers be the
20 same?

21 **A.** Yes, they would.

22 MR. GROSS: I would request that
23 Mr. Plunkett's testimony be inserted into the record as
24 though read.

25 CHAIRMAN EDGAR: The prefiled direct testimony

1 will be entered into the record as though read, with the
2 correction noted by the witness.

3 BY MR. GROSS:

4 Q. Mr. Plunkett, did you sponsor any exhibits
5 with your testimony?

6 A. Yes, 1 through 4.

7 Q. Was that JJP-1 through 4?

8 A. Correct.

9 MR. GROSS: Those exhibits have been premarked
10 as 122 through 125.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **Q: State your name, occupation and business address.**

2 A: I am John J. Plunkett, a partner in Green Energy Economics Group. My address
3 is 1002 Jerusalem Road, Bristol, VT 05443.

4 **Q: Summarize your education and professional experience.**

5 A: I graduated Phi Beta Kappa with a B.A. in Economics, with Distinction, from
6 Swarthmore College. I have twenty-eight years of experience in energy utility
7 planning, concentrating on demand-side management as a resource and business
8 strategy for electric and gas service providers. I recently co-founded Green
9 Energy Economics Group, a consultancy specializing in energy efficiency and
10 renewable resource economics, with Francis Wyatt, my colleague since 1992.
11 We provide technical and strategic assistance with energy-efficiency and
12 distributed generation portfolio development, design, analysis, planning,
13 administration, implementation management support, oversight, performance
14 verification and evaluation, performance incentive mechanisms, and regulatory
15 and ratemaking treatment.

16 I have testified as an expert witness on energy efficiency as an
17 electricity and gas supply alternative in regulatory proceedings in the U.S. and
18 Canada, including New York, New Jersey, Connecticut, Indiana, Florida,
19 Ontario and Quebec. I have led several major studies of economically achievable
20 efficiency potential, including New York, Vermont, and Maine. I have also led
21 collaborative teams in the estimation of electric, economic, and environmental
22 impacts of energy-efficiency portfolios, including New Jersey, Maryland, and
23 two Chinese provinces.

24 For the past six years I have served on the senior management team of
25 Efficiency Vermont, the nation's first statewide electric efficiency utility, which

1 has been responsible for managing Vermont's \$70 million efficiency portfolio
2 through 2005 since its inception in 2000. Efficiency Vermont has exceeded its
3 energy and economic performance goals on or under budget during both its
4 three-year contracts, and has just entered a third contract through 2008. We are
5 in the midst of planning how to invest the 75% increase in annual efficiency
6 investment recently announced by the Public Service Board in 2007 and 2008.

7 Since July 2003 I have led the Natural Resources Defense Council
8 consulting team working with China's Jiangsu province to develop and
9 implement energy-efficiency programs as "Energy-Efficiency Power Plants"
10 ("EPP"). I am currently leading an Asian Development Bank consulting team to
11 analyze the energy, economic, financial, and environmental prospects of
12 launching an EPP in Guangdong province in 2007 funded through a \$100
13 million, 24-year loan to finance efficiency retrofit investments by nonresidential
14 customers.

15 Since April 2005, I have been leading the assessment and development
16 of demand-side alternatives to transmission and distribution investments in
17 Vermont's "southern loop" on behalf of Vermont Electric Power Company and
18 Central Vermont Public Service. In parallel, I am leading the development of
19 first-stage implementation plans for deployment of targeted demand-side
20 management programs on behalf of CVPS. In 2003 I led an analysis of
21 economically deliverable demand-side transmission capacity, submitted by the
22 Vermont Electric Power Company in its application for approval of a major
23 transmission upgrade, and testified in support of this analysis in 2004.

24 Over the last year and a half I submitted testimony before the
25 Pennsylvania Public Utilities Commission recommending energy-efficiency

1 portfolio investment and savings targets for three utilities in three proceedings. I
2 testified in January before the British Columbia Utilities Commission regarding
3 appropriate DSM spending and savings for BC Hydro's long-term resource
4 planning.

5 I testified in 2005 before the New York Public Service Commission supporting
6 the economic achievability of Con Edison's proposed \$250 million investment in
7 targeted DSM. In 2004 I testified on behalf of a variety of environmental groups
8 before the Quebec Energy Board on the potential for energy efficiency to help
9 displace the need for a planned combined-cycle generating facility, and again in
10 2005 on ways for Hydro Quebec to increase its acquisition of energy-efficiency
11 resources. I was lead author and witness in support of a comprehensive
12 assessment of utility administration of Connecticut's Conservation and Load
13 Management program on behalf of the Office of Consumer Counsel in 2003-
14 2004.

15 I led the economic analysis of the \$150 million, five-year Clean Energy
16 Initiative on behalf of the Long Island Power Authority in 1999; since 2002 I
17 have advised LIPA on future energy-efficiency spending and performance goals,
18 most recently involving long-term spending and savings goals for the next ten
19 years.

20 I have served as an economic advisor to Northeast Energy Efficiency
21 Partnerships since 1998, for which I have led several analyses of a variety of
22 regional utility energy-efficiency initiatives. In 2005 I served as NEEP's
23 technical advisor on regional protocols for interstate Energy-Efficiency portfolio
24 comparison. I have also been an economic advisor to the non-utility parties
25 engaged in energy-efficiency collaboratives with Massachusetts electric and gas

1 utilities since 1999, in New Jersey from 1996-2002, and in Maryland from 1990-
2 1997.

3 Exhibit JJP-1 provides my full resume.

4 **Q: In what area of expertise do you offer testimony in this case?**

5 A: I testify as an expert on energy-efficiency portfolio design, planning, costs and
6 performance.

7 **Q: Have you testified before this Commission previously?**

8 A: Yes. In 1992 I testified in Docket No. 920520-EG, In Re: Joint Petition of
9 Florida Power and Light and Cypress Energy Partners, Limited Partnership for
10 Determination of Need.

11 **I. Introduction and Summary**

12 **Q: On whose behalf are you testifying?**

13 A: My testimony is sponsored by the Sierra Club, Inc., Florida Wildlife Federation
14 (FWF), Save Our Creeks (SOC), the Environmental Confederation of Southwest
15 Florida (ECOSWF), and Ellen Peterson.

16 **Q: What is the purpose of your direct testimony?**

17 A: I have been asked by my clients to assess the extent to which increased energy-
18 efficiency investments could affect the need for the Glades coal-fired generating
19 units.

20 **Q: What issues do you address?**

21 A: I address issues 1 through 6 regarding the need for the Glades generating units
22 from FP&L's preliminary list of issues in this case, dated March 12, 2007.

23 **Q: How does your testimony address the need for the proposed facility?**

1 A: My testimony addresses the amounts and costs of additional cost-effective
2 demand-side management (“DSM”) resources that FP&L could be expected to
3 acquire if the Company intensified, expanded and accelerated its planned
4 energy-efficiency portfolio. After reviewing energy-efficiency spending and
5 savings among northeastern utilities, I use recent experience of Massachusetts
6 utilities to scale up FP&L residential and nonresidential efficiency savings by
7 roughly half. I also use recent actual and planned expenditures and savings by
8 Pacific Gas and Electric (“PG&E”) to project annual budgets and electricity
9 savings if FP&L replicated its performance with and commitment to acquiring
10 all cost-effective DSM. Doing so would more than triple the peak-demand
11 reductions FP&L plans to realize over the long term from its DSM portfolio.

12 **Q: How would greater amounts of DSM affect the need for the Glades units?**

13 A: I found that increased DSM could defer the need for the two units. By cutting
14 load growth beyond what FP&L plans, additional DSM postpones the date at
15 which peak load reaches the level FP&L now forecasts for the in-service date of
16 the proposed Glades units. The greater the increase in DSM savings, the farther
17 into the future additional DSM postpones the need date.

18 If FP&L exhibited the same spending depth (dollar of program expenditure per
19 kWh sold) and savings yield (kWh per dollar of portfolio expenditure) as
20 Massachusetts did between 2002 and 2004, it would defer the need date for both
21 units by one year. If, however, FP&L were to follow in PG&E’s footsteps and
22 tripled its annual savings, additional DSM would postpone the need date beyond
23 2023. (See Exh. JJP-4 for details.)

24 **Q: What about the cost-effectiveness of these additional energy-efficiency**
25 **resources relative to the proposed Glades generating units?**

1 A: These additional efficiency savings would cost significantly less than the
2 levelized (life-cycle) costs of the units. For example, Massachusetts and PG&E
3 residential efficiency programs cost or are expected to cost between 5 and 6
4 cents/kWh; commercial/industrial savings cost in the range of 3 to 4 cents/kWh
5 levelized. By comparison, the Company projects that the Glades units will cost
6 between 8 and 10 cents/kWh, depending on the scenario.¹

7 **II. Energy-Efficiency and the Need for the Glades Generating Units**

8 **Q: What materials did you review to prepare this testimony?**

9 A: I reviewed the following:

- 10 ● Florida Power & Light Company's Petition to Determine Need for FPL
11 Glades Power Park Units 1 and 2 Electrical Power Plant, February 1, 2007
- 12 ● FPL's Need Study for Electrical Power
- 13 ● Appendix D to FPL's Need Study for Electrical Power.
- 14 ● Appendix G to FPL's Need Study for Electrical Power.
- 15 ● Appendix L to FPL's Need Study for Electrical Power.
- 16 ● Portions of Appendix M to FPL's Need Study for Electrical Power.
- 17 ● Direct Testimony & Exhibit of: Leonardo E. Greenowing.

18

19 **A. *FP&L's Planned DSM Savings***

20

21 **Q: By how much does FP&L plan to reduce system peak load with DSM?**

¹ From FPL Need Study for Electrical Power, Appendix M, p. 7-6.

1 A: The Company plans to acquire roughly 120 MW each year between 2007 and
 2 2020.² I understand that FP&L intends to pursue these savings in parallel with
 3 the construction of the Glades units.

4 **Q: Are FP&L's planned DSM savings significant?**

5 A: Yes. Were it not for these planned savings, FP&L would reach between 2010
 6 and ~~2007~~²⁰¹¹ the 24,391 peak load it forecasts for 2013 with its planned DSM. In
 7 effect, FP&L's planned DSM will defer the need for the capacity from the new
 8 units by 2-3 years. In fact, the Company's planned DSM savings add up to more
 9 than FP&L's share of statewide efficiency potential recently estimated by the
 10 American Council for an Energy-Efficient Economy.³

11 **B. Energy-Efficiency Portfolios in Other Jurisdictions**
 12

13 **Q: Why did you look to energy-efficiency portfolios in other jurisdictions to**
 14 **project additional DSM savings for FP&L?**

15 A: Some states have acquired and/or plan to acquire far less DSM savings (on a
 16 proportional basis) than FP&L does. Others have a long track record of
 17 acquiring considerably more. States in the Northeast and California both fall
 18 into this latter category. Thus, they offer a basis for projecting additional DSM
 19 spending and savings for FP&L based on actual spending depth and savings
 20 yield achieved by DSM program administrators over the past few years.
 21

22 Some states recently have made plans to increase DSM spending over the next
 23 three years. Vermont regulators recently raised Efficiency Vermont's annual
 24 portfolio budget by 75%. California utilities are in some cases tripling their

² From FPL Need Study for Electrical Power, p. 12, Table II.B.3.1.

³ I was unable to locate program budgets associated with DSM savings FP&L plans to achieve.

1 DSM investment to comply with state regulators' "first-order loading"
2 imperative for cost-effective DSM before pursuing more expensive supply.
3 These plans offer a basis for projecting spending and savings for FP&L

4 **Q: How can you reasonably compare spending and performance between**
5 **jurisdictions?**

6 A: DSM spending divided by electricity sales indicates the relative depth of DSM
7 investment. DSM savings divided by program expenditures indicates the kWh
8 yield per dollar invested. Because of diminishing returns, increasing spending
9 depth corresponds with decreasing yield.

10 Both figures of merit adjust for differences in scale between utilities or
11 jurisdictions. Calculating these values and making comparisons at the sector –
12 residential vs. nonresidential – level allows adjustment for differences in
13 customer mixes between utilities or jurisdictions when projecting total spending
14 and savings for FP&L.

15 **Q: What do the Northeastern states show in terms of actual DSM spending and**
16 **savings?**

17 A: Results for 7 states are presented in Exh. JJP-2. Page 1 provides data for
18 residential programs; page 2 provides comparable information on nonresidential
19 programs. Massachusetts and Vermont are at the upper end of the range for
20 residential DSM spending (\$3.3 and \$3.6 per retail MWh, respectively); they
21 also achieved similar yields per dollar spent. Massachusetts stands out with the
22 deepest nonresidential spending (\$3.4 per MWh of nonresidential sales) and the
23 deepest savings as a percent of sales. Massachusetts makes the best choice for
24 projecting additional spending and savings from the Northeast experience for
25 FP&L.

1 **Q: What is the levelized cost of electricity saved from the Massachusetts**
2 **portfolio?**

3 A: The answer depends on the average measure life for the yield in each sector. It
4 also depends on the discount rate. Assuming 10 years for residential and 15
5 years for nonresidential measure lives and the 10.05% nominal cost of capital
6 FP&L uses, levelized costs of saved electric energy from residential customers
7 has been 5.7 cents/kWh, and 4.2 cents/kWh (allowing for 2 years' inflation at
8 2.5% to adjust the 2005 constant dollars in the table).

9 **Q: Have some Northeastern states been saving less on a proportional basis than**
10 **FP&L plans to accomplish?**

11 A: Yes. Adjusting for differences in size, FP&L's 120 MW/year of planned DSM
12 savings is more than would be projected by applying New Jersey's spending and
13 savings for 2002-2004.

14 **Q: What do you find from reviewing DSM spending and savings plans in**
15 **California?**

16 A: Exh. JJP-3 presents spending and savings information from Pacific Gas &
17 Electric, including actual expenditures and savings for 2004 and projected values
18 for 2006-2008. Notice that PG&E plans to more than triple its \$107 million
19 2004 spending to \$332 million by 2008. These growing investments are
20 projected to acquire progressively deeper savings (e.g., from 1.2% in annual
21 residential savings in 2004 up to 2.7% of residential sales in 2008). Associated
22 with these deeper investments are significant declines in yield.

23
24 PG&E offers a good basis for projecting FP&L's performance if it matched one
25 of the industry's leaders.

1 **Q: What are the levelized costs for PG&E's historic and planned expansion in**
2 **DSM?**

3 A: Making the same assumptions as I did for the Massachusetts calculations,
4 levelized costs (in current dollars) per kWh saved in the residential sector will
5 rise from 3.5 cents/kWh in 2004 to 5.4 cents/kWh in 2008. In the nonresidential
6 sector, levelized costs would climb from 2.2 cents/kWh saved in 2004 to 3.4
7 cents/kWh by 2008.

8 **C. *Additional Energy-Efficiency Resources for FP&L***
9

10 **Q: How did you estimate additional DSM procurement for FP&L?**

11 A: I applied the sectoral spending depths and savings yields from Massachusetts
12 and PG&E to FP&L's forecast residential and nonresidential sales to scale
13 sectoral DSM spending and savings for FP&L. I used Massachusetts historical
14 spending and performance over 2002-2004 to project scaled savings and
15 spending for FP&L. I used PG&E's 2006-2008 projected spending and savings,
16 incorporating planned substantial declines in savings yields accompanying the
17 deepening spending. The results of these calculations are presented in Exhibit
18 JJP-4.

19 **Q: How much more peak reduction would the Massachusetts and PG&E scaled**
20 **savings provide by 2013?**

21 A: Assuming FP&L begins in 2008 to acquire additional energy-efficiency, a
22 Massachusetts-scaled portfolio could be expected to produce an additional 445
23 MW (beyond the 1,199 MW FP&L plans to realize by 2013. PG&E-scaled
24 efforts would be expected to yield an additional 1,616 MW between 2008 and
25 2013.

1 **Q: Why should this Commission rely on DSM data from distant regions with**
2 **completely different climates, demographics, and economies to form**
3 **expectations about FP&L's future DSM savings?**

4 A: Absent detailed study of maximum efficiency potential or actual experience with
5 aggressive programs in Florida, mature DSM portfolio performance elsewhere is
6 the best information available for gauging how much more FP&L could
7 accomplish and how much this would cost.

8 Of course the efficiency opportunities in FP&L territory will vary widely from
9 those in Massachusetts and northern California. These differences do not
10 necessarily introduce bias into the comparisons or projections based on them.
11 For example, the saturation and annual hourly usage of air-conditioning is the
12 most obvious difference between Florida and these regions. Potential savings
13 from high-efficiency air-conditioning should be greater and more cost-effective
14 in FP&L territory than in Massachusetts or PG&E territory.

15 While I would not recommend that the Commission or FP&L use these
16 projections as the basis for DSM investment planning, they are sufficient for
17 establishing a credible if rough idea of how much DSM FP&L could be expected
18 to achieve if it pursued a more ambitious DSM portfolio.

19 ***D. Effect of Additional FP&L Energy-Efficiency on the Need for the Glades***
20 ***Units***
21

22 **Q: What effect would the additional DSM you examined have on the need for**
23 **the Glades generating units?**

24 A: If FP&L were to scale its DSM spending and savings to what Massachusetts
25 electric utilities were achieving between 2002 and 2004, system load would not

1 reach the 24,391 MW that FP&L forecasts for 2013, the in-service date of the
2 first Glades unit, until sometime between 2014 and 2015. But with DSM scaled
3 according to PG&E's 2006-2008 DSM plans, FP&L's load would not reach
4 24,391 MW at any time during the planning horizon (through 2023). For
5 example, FP&L summer peak load would only reach 23,777 MW by 2020 under
6 a PG&E-scaled DSM portfolio. In effect, such ambitious DSM would displace
7 the need for the capacity of the Glades units, at least as indicated by the system
8 load coinciding with Company's planned in-service date for the first unit.

9 **Q: Must FP&L commit to a PG&E-scaled DSM portfolio to substantially defer**
10 **the need for the Glades units?**

11 A: No. A portfolio scaled quite a bit smaller than PG&E's would be sufficient to
12 defer the need date by 5 years, for example.

13 **Q: Wouldn't FP&L need to establish through experience how much DSM it**
14 **could really acquire in its territory before deciding how long the Glades**
15 **units or other generation additions can be deferred?**

16 A: Yes. Gaining experience with best practices used in the most aggressive DSM
17 portfolios will enable FP&L to make more precise estimates of the future costs
18 and savings of additional DSM investment.

19 **Q: Earlier you testified that the additional DSM savings would be cost-effective**
20 **compared to the Glades units. Is that true under the Rate Impact Measure**
21 **(RIM) test for DSM as adopted by this Commission?**

22 A: I doubt it. I understand that FP&L's planned DSM does pass the RIM test. I
23 surmise that this is because levelized program costs must be less than the
24 difference between long-run avoided costs and marginal retail rates. The

1 levelized costs of PG&E and Massachusetts DSM portfolios almost certainly
2 exceed the difference between FP&L's avoided costs and rates.

3 **Q: Does this change your testimony about the relative cost-effectiveness of**
4 **additional DSM compared to the Glades units?**

5 A: No, it does not. The RIM (also known as the non-participant and no-losers) test
6 is a rough and inaccurate indicator of distributional equity between groups of
7 ratepayers. It is not a valid indicator of economic efficiency. If FP&L can truly
8 achieve additional DSM savings at half the costs of the Glades units, then the
9 Company's ratepayers and the economy in which they live and do business will
10 be far better off. While I am not an attorney, as an economist I can say that such
11 significant cost savings between one resource and another is the meaning of
12 "cost-effective" as I read it in Section 403.519, Florida Statutes.

13 **III. Conclusions and Recommendations**

14 **Q: What do you conclude about the need for the Glades units?**

15 A: I conclude that the Glades units are most probably not needed because of the
16 likely availability of additional DSM that would be cost-effective compared to
17 building and operating them. I base this conclusion on the well-established track
18 records and plans of some of the nation's leading energy-efficiency portfolio
19 managers.

20 **Q: Based on this conclusion, what are your recommendations?**

21 A: I recommend that the Commission not approve FP&L's application as filed.
22 Instead, I recommend that the Commission deny the Company's application. In
23 this case, I recommend that the Commission direct the Company to conduct a
24 thorough study of the economically achievable potential for energy-efficiency

1 investments in its territory based on best practices in program design and
2 implementation followed by the managers of the most aggressive U.S. DSM
3 portfolios. I further recommend that the Commission direct FP&L to proceed on
4 a parallel path to design and develop an aggressive DSM portfolio capable of
5 deferring the need for additional generation by at least five years (2018). This
6 will buy time for the Company and the Commission to develop and evaluate a
7 wider range of demand-side and supply-side alternatives to the proposed units.
8 The Company should be directed to include a revised DSM plan based on these
9 parallel DSM efforts with any future application submitted to this Commission
10 for a need determination for new generation resources. Such a resubmission
11 should constitute one of the conditions the Commission should impose if it
12 decides not to deny the application outright.

13 **Q: Does this complete your direct testimony?**

14 **A:** Yes, it does.

1 MR. GROSS: May I proceed?

2 CHAIRMAN EDGAR: I'm sorry. Yes.

3 BY MR. GROSS:

4 Q. Do you have a summary of your testimony,
5 Mr. Plunkett?

6 A. I do.

7 Q. Could you go ahead and give that summary,
8 please?

9 A. Yes. Florida Power & Light has undertaken in
10 the past and committed in the future to significant
11 acquisitions of energy efficiency resources from its
12 customers. The company's current DSM plans are
13 responsible for postponing the need date for new
14 capacity. But additional DSM savings beyond FPL's
15 current plans can slow peak demand growth, thereby
16 postponing the need date for new capacity.

17 Utilities in other jurisdictions have been and
18 are pursuing proportionally greater investment in energy
19 saving demand-side management. These demand-side
20 management resources are costing somewhere between 3 and
21 6 cents a kilowatt-hour saved, that is, about 30 to
22 60 percent of the life cycle or all-in costs of the
23 Glades units, as I understand them. FPL could postpone
24 the need date for new generating capacity if it
25 broadened, deepened, and accelerated its current DSM

1 plans.

2 I'm sorry. I lost my place.

3 Additional cost-effective energy savings could
4 be realized if FP&L offered more aggressive programs
5 targeting areas and measures and deeper market
6 penetration in some of the markets that they have been
7 involved in, in particular, comprehensive efficiency
8 improvements in new building construction and design,
9 residential lighting products, high efficiency equipment
10 purchases by businesses, including motors, drives,
11 refrigeration, and HVAC, as well as comprehensive
12 retrofits in existing businesses, just to mention a few
13 areas.

14 If Florida Power & Light followed the lead of
15 what some consider to be the leading energy efficiency
16 practitioner in the country in terms of scale and scope
17 and comprehensiveness, it could postpone the need date
18 for the Glades units beyond 2023. Such deferral would
19 be cost-effective under the total resource cost test,
20 though unlikely so under the rate impact measure, which
21 counts the cost of lost sales revenue as a cost. I note
22 that Florida is the only jurisdiction that I know of
23 that uses this test for distributional equity to
24 preclude DSM that would otherwise lower total resource
25 cost test -- total resource costs, that is, improve

1 economic efficiency.

2 MS. SMITH: Madam Chairman, I hate to
3 interrupt, but Mr. Plunkett is exceeding the scope of
4 his direct testimony. This isn't a summary.

5 CHAIRMAN EDGAR: Ms. Brubaker?

6 MS. BRUBAKER: I have to agree.

7 MR. GROSS: Well, his direct testimony has
8 specific reference to the RIM test, and it was responded
9 to by the rebuttal testimony of FPL witnesses. I don't
10 know if that's what you're objecting to, but if that is
11 it, that is specifically referenced in his direct
12 testimony, his prefiled testimony.

13 MS. BRUBAKER: Perhaps you could identify page
14 and line numbers. It just seems to me it's going above
15 and beyond the scope of what he actually testified to.

16 CHAIRMAN EDGAR: Thank you, Ms. Brubaker. Can
17 you point us? I think we all have copies with us.

18 MR. GUEST: I can do it.

19 MR. GROSS: We have it.

20 CHAIRMAN EDGAR: Would you like to confer with
21 your witness for a moment?

22 MS. BRUBAKER: As a further matter of
23 clarification, this is direct testimony, so I don't
24 think it would be appropriate for him to be rebutting --
25 is it rebutting rebuttal or -- to me, this is your case

1 in chief. You don't necessarily --

2 MR. GROSS: He's not rebutting. If one just
3 simply reads page 12, lines 19 through 24, and page 13,
4 lines 1 through 12, he talks at length about the RIM
5 test, and he critiques, vigorously critiques the RIM
6 test.

7 MS. SMITH: If I may, there's absolutely no
8 mention of the total resource cost test, which is what
9 Mr. Plunkett is addressing right now.

10 MS. BRUBAKER: I have to agree.

11 THE WITNESS: I did mention it.

12 MR. GROSS: I believe he does mention the
13 total resource cost test.

14 MS. SMITH: Madam Chairman, I'll withdraw my
15 objection in the interest of moving things along.

16 CHAIRMAN EDGAR: Okay.

17 THE WITNESS: That was all I was going to say
18 about the RIM test.

19 CHAIRMAN EDGAR: Mr. Plunkett, if you would,
20 continue with your summary, please.

21 THE WITNESS: Yes. Finally, matching PG&E's
22 commitments on a proportional basis is not necessary to
23 defer the need for the unit significantly. As I say in
24 my testimony, lesser amounts would be sufficient to
25 postpone the need for the unit cost-effectively within

1 the planning horizon.

2 So in conclusion, I recommend that the PSC not
3 approve FP&L's application based on the high likelihood
4 that the company could slow demand growth and postpone
5 the need with far less costly energy efficiency.

6 That concludes my summary.

7 CHAIRMAN EDGAR: Thank you.

8 MR. GROSS: We offer Mr. Plunkett for cross.

9 CHAIRMAN EDGAR: Thank you. Mr. Beck, any
10 questions?

11 Mr. Krasowski.

12 CROSS-EXAMINATION

13 BY MR. KRASOWSKI:

14 Q. Good afternoon, Mr. Plunkett.

15 A. Hello.

16 Q. Mr. Plunkett, in your testimony you mention
17 PG&E in California. Could you explain what above and
18 beyond DSM practices the State of California has to
19 maximize efficiency and reduce the need for new power
20 plants?

21 A. Beyond energy efficiency?

22 Q. Beyond --

23 A. Or beyond demand-side management?

24 Q. Beyond demand-side management. Well, maybe I
25 could rephrase that and make it a little easier going

1 one step at a time.

2 Are you familiar with the demand-side
3 management practices of FP&L?

4 **A.** I have some knowledge of FP&L's demand-side
5 management efforts, their accomplishments. It's been a
6 little hard to get my hands on all the moving parts, but
7 I have a pretty good idea of the programs they're
8 running and the savings they are claiming from them.

9 **Q.** Now, you've suggested in your testimony that
10 this power park, the Glades Power Park, the need for it
11 could be totally eliminated by increased demand-side
12 management and other efficiency efforts.

13 **A.** I've testified that there's enough energy
14 efficiency and demand-side management potential out
15 there in the service territory to allow the company to
16 postpone the date at which it would hit a system peak of
17 24,391 megawatts, which is the peak load forecast by the
18 company by 2013, and that -- I'm hesitating at the word
19 "eliminate." What I'm saying is that it can postpone
20 that need past 2020, past 2023, if it went as far as
21 PG&E did on a proportional basis.

22 **Q.** Okay. Yes, I accept what you're saying as far
23 as you didn't say eliminate, but to postpone it to that
24 late date.

25 With your understanding of what is FP&L's

1 demand-side management program, what about the PG&E
2 demand-side management program is different that allows
3 PG&E to have such greater effect?

4 MS. SMITH: Madam Chairman.

5 CHAIRMAN EDGAR: Yes, ma'am.

6 MS. SMITH: I have to object to the form.

7 This is not an adverse witness to Mr. Krasowski, and he
8 is asking Mr. Plunkett leading questions.

9 MR. KRASOWSKI: Ma'am, I --

10 CHAIRMAN EDGAR: More direct questions,
11 please.

12 MR. KRASOWSKI: A more direct question. Okay.
13 And, Madam Chair, I don't perceive this witness to be
14 any less friendly to me than anybody else I've talked
15 to.

16 CHAIRMAN EDGAR: Sometimes I feel the same
17 way.

18 MR. GUEST: Madam Chairman, would it be
19 appropriate for me to help Mr. Krasowski?

20 CHAIRMAN EDGAR: I think he's doing all right.
21 Let's let him --

22 MR. GUEST: I mean to get past the objections.

23 CHAIRMAN EDGAR: Let's let him give it another
24 try.

25 MR. KRASOWSKI: I would rather fly on my own

1 as long as possible.

2 CHAIRMAN EDGAR: I understand.

3 MR. KRASOWSKI: I can just read it now, how
4 the Sierra Club, and whatever.

5 BY MR. KRASOWSKI:

6 Q. But, Mr. Plunkett, I'm trying here to phrase
7 my questions so they can illuminate truth, and I don't
8 care who it serves. As I stated, will you please
9 explain the difference between demand-side management at
10 PG&E and demand-side management in Florida?

11 A. Yes. The demand-side management planned and
12 practiced by PG&E and the other California utilities
13 basically involves a lot deeper investment in the
14 markets that they're involved in and a deeper
15 involvement in all -- in a broader set of markets using
16 much more aggressive strategies than are currently in
17 place by Florida Power & Light's programs.

18 Now, there's nothing wrong with Florida Power
19 & Light's programs as they exist now. They look to be
20 cost-effective. What happens is, when you are trying to
21 acquire all the savings, you go deeper.

22 And so, for example -- I'll give you a good
23 example on their commercial new construction. They make
24 it so that an architect, an owner, an engineer, a
25 developer of a new commercial space is facing

1 practically no incremental cost to go with higher
2 efficient design and construction and choice of
3 equipment, because these are considered lost
4 opportunities. They last for a long time, and so a lot
5 of effort is put into making sure that they get maximum
6 market penetration.

7 Another example is, they have programs for
8 small commercial customers that are not just energy
9 audits and suggestions, but literally targeted town by
10 town, where they come in and recommend -- do an
11 inspection, recommend a set of energy efficiency
12 measures that would be cost-effective as retrofits.
13 That means early retirement of existing lights and air
14 conditioning, as well as the addition of various
15 controls, and offers to install them at little or no
16 cost to the customer. And they know from this
17 experience that they can get something like an 80 to
18 90 percent participation rate as opposed to the
19 20 percent participation rate that you can get over time
20 with less aggressive strategies.

21 So these are just two examples of their
22 involvement in intervention in the markets to secure
23 greater savings, that is, acquire all the savings that
24 can be gotten for less than the cost of -- less than the
25 avoided cost of new supply.

1 **Q.** Mr. Plunkett, as you describe in California,
2 the situation there, where does the money come from that
3 pays for the replacement of these appliances that are
4 part of that program?

5 **A.** Two sources. One is, they have what's called
6 a public goods charge or PGC which funds basically
7 statewide programs. It recognizes that, for example, a
8 lot of markets are basically not specific to utility
9 service territories, and that funds sort of, I would say
10 in rough terms, for what they're planning from 2006 to
11 2008, about half of what they're spending.

12 In addition, they spend more money, come up
13 with more funding based on procurement. In other words,
14 they procure additional resources as their needs demand
15 for new resources. And they're under regulatory
16 obligation to pursue all of those resource. All those
17 resources must be exhausted before they can get approval
18 for additional supply-side resources that would cost
19 more than the energy efficiency resources that they can
20 acquire.

21 **Q.** Do you know what type of budget they're
22 working with that covers the 2006-2008 time period?

23 **A.** I do for PG&E, and I have it in my -- I hope I
24 have it in one of my exhibits. I do know that like the
25 three investor-owned utilities last time I saw were

1 looking at about \$2 billion over the -- I believe it was
2 the next five years. But just looking at PG&E's plans
3 alone, 2006 through 2008, it looks to be -- it's
4 237 million in 2006, 270 million in 2007, and 332
5 million in 2008.

6 Q. And that was just for PG&E?

7 A. That is just for Pacific Gas & Electric, yes.

8 Q. Do you know what their customer base is, the
9 size of their --

10 A. Not off the top of my head. They used to be
11 the biggest or one of the biggest utilities in the
12 country. They've been surpassed by -- well, FPL for
13 starters. But they have a big mix of commercial,
14 industrial, agricultural, residential customers. It's
15 quite a different service territory, though, from
16 FP&L's, as I point out in my testimony.

17 Q. Mr. Plunkett -- and you might not be able to
18 answer this, but if we took the \$5.5 billion that the
19 ratepayers in Florida are being asked to spend minus --
20 and this is aside from the land costs on this project.
21 What could we expect in terms of deferred -- or
22 efficiencies if we were to do what they do in
23 California?

24 A. I'm sorry. I don't know the answer to the
25 question as you've posed it. I have got in my exhibit a

1 number, a set of numbers, the budgets that would be
2 required to replicate the depth and breadth of spending
3 and savings by PG&E starting in 2008, and I didn't add
4 it up. One, two and a half -- so by 2000 -- give me a
5 second. It's about 5 billion, just from my eye, by
6 2016. And so the answer to my question is -- to your
7 question is basically, you can pick it right off this
8 exhibit in terms of when you hit 5 billion, and then I
9 show up here what the DSM megawatts would be under
10 PGE-scaled DSM. And unless you want me to sit here and
11 punch the calculator buttons --

12 **Q.** No, that's okay. But that's in your
13 testimony?

14 **A.** You could do that yourself from Exhibit JJP-4.

15 MS. SMITH: Madam Chairman, frankly, most of
16 these questions, if not all, are covering subjects that
17 are already addressed in Mr. Plunkett's prefiled direct
18 testimony. It's already in the record. At this point,
19 this is just duplicative of information that's already
20 in the record.

21 MR. KRASOWSKI: Madam Chair, the reason I'm
22 asking these questions is because Mr. Plunkett's
23 testimony was very vague, not very specific, and it was
24 torn apart by the FP&L people due to his reference to
25 the ACEEE group's report too. So I don't think there's

1 much basis of anything as far as substantial support for
2 DSM in any of these documents.

3 MS. SMITH: Then, Madam Chairman, if I may, in
4 that case, this is eliciting essentially surrebuttal
5 testimony, which is procedurally improper at this point.
6 The opportunity to file testimony by the intervenors
7 came and went. I believe it was March 30th. And at
8 this point, again, it's procedurally improper.

9 MR. KRASOWSKI: Madam Chair, I thought it --
10 okay.

11 CHAIRMAN EDGAR: Ms. Brubaker.

12 MS. BRUBAKER: I suppose where I come to it
13 is, if Mr. Krasowski is looking for clarification or
14 impeaching the testimony of Mr. Plunkett, it is -- I
15 think a certain amount of allowance should be granted.

16 I'm really at a loss as to what else to add.
17 Mr. Harris, if you have anything, but to me -- well, I
18 suppose it just hadn't come to my mind yet that we're at
19 the point where I would recommend the objection be
20 sustained. I do think Mr. Krasowski's questions do tend
21 to track Mr. Plunkett's testimony.

22 CHAIRMAN EDGAR: Mr. Harris, do you have
23 additional comments?

24 MR. HARRIS: I cannot be -- I cannot say that
25 I'm overly familiar with his direct testimony. I would

1 say the purpose of cross, as I understand it, is to test
2 the fundamentals in the direct testimony. If the
3 questions are designed to elicit the basis for the
4 testimony, I think they're appropriate. If they're
5 designed simply to reiterate information that's in the
6 record without any new information or testing those
7 assumptions or facts or premises, then I would think it
8 would be probably impermissible.

9 MS. BRUBAKER: If I may also, I mean, to the
10 extent Mr. Krasowski's questions were putting into the
11 record facts, events, matters that were not previously
12 identified in Mr. Plunkett's testimony, I think it would
13 be more appropriate for him to ask very pointed, concise
14 questions. But again, that would be my only direction.
15 Again, I suppose in my mind, I just haven't heard
16 anything to this point which would lead me to recommend
17 sustaining the objection.

18 CHAIRMAN EDGAR: All right. Thank you,
19 Counsel.

20 Mr. Krasowski, I stopped you. Do you have
21 additional response or comment?

22 MR. KRASOWSKI: To Mr. Plunkett?

23 CHAIRMAN EDGAR: No, to what you have just
24 heard, to the objection that was raised and the advice
25 of counsel.

1 MR. KRASOWSKI: Well, basically, I think staff
2 is on the right track and FP&L is way out of line. But
3 I would like to continue, please.

4 CHAIRMAN EDGAR: Yes. I'm going to allow you
5 to continue. But again, keep in mind, as always, time
6 frames and direct and concise questioning to the best of
7 your ability, and all the rest of ours as well.

8 MR. KRASOWSKI: Thank you, ma'am.

9 BY MR. KRASOWSKI:

10 Q. Mr. Plunkett, in your testimony you made
11 reference to general law that deals with efficiency, and
12 you did touch on it a minute ago when you mentioned how
13 some of the DSM programs in California were a little
14 stricter. So my question to you would be, Mr. Plunkett,
15 could you please mention an example of a law in
16 California that mandates a certain efficiency?

17 A. I'm not a lawyer, and I believe that this
18 mandate that has come down for the utilities has
19 actually come from the Public Utilities Commission of
20 California. Now, there may be some statute behind that,
21 but I don't know about it.

22 That said, they do have some laws in
23 California, particularly very tight building efficiency
24 standards known as Title 24 that they use in concert
25 with their energy efficiency programs. They basically

1 use the programs to soften the market, if you will, so
2 that they can basically motivate early compliance with
3 future standards, which then allows them to tighten up
4 the standards again. But it's a matter of regulatory
5 policy, to my understanding, that has led to this,
6 partly based on their experience from 2001, when they
7 basically used conservation and efficiency and load
8 management together to help avert a repeat of the 2000
9 blackouts.

10 **Q.** So, Mr. Plunkett, is there a difference
11 between the DSM -- any other differences between the DSM
12 program of FP&L and PG&E?

13 **A.** Well, there are many. You know, again, it's
14 partly a matter of policy. I mention in my direct
15 testimony and my summary that one of the restraints that
16 Florida puts on the amount of DSM that can be considered
17 economic is the use of this rate impact measure test.
18 And I even say that it's doubtful that the additional
19 efficiency that I recommend, if it followed some of the
20 designs and practices of Pacific Gas & Electric, would
21 pass the RIM test. I don't think it would pass the RIM
22 test in California either. So that is a law or -- it's
23 a policy decision that is hampering or impeding the
24 amount of efficiency that Florida Power & Light can
25 actually pursue.

1 **Q.** Mr. Plunkett, you identify the report
2 generated by the American Council for an Energy
3 Efficient Economy briefly and ever so slightly in your
4 testimony. Who are other organizations outside of the
5 industry who might perform an analysis of the Florida
6 Power & Light system as to opportunities for efficiency?

7 **A.** Well, there are lots of consulting
8 organizations out there. I've worked with ACEEE on a
9 potential study in New York state, very comprehensive,
10 for example. There are firms like Quantum Consulting
11 that I think is based in California. Kema/Xenergy --
12 that's K-e-m-a, slash, X-e-n-e-r-g-y. These are a
13 couple of, I think, what people consider to be the best,
14 but there are a lot of them out there, people that do
15 this kind of work.

16 **Q.** You recommend to the Commission to charge FP&L
17 with the task of doing a reanalysis of their DSM
18 programs. Did you make that recommendation with the
19 full knowledge that an analysis had just recently been
20 completed in concert with the PSC staff to do just that?

21 **A.** I'm aware of the goal-setting process. I
22 actually was involved in Florida DSM in the early '90s
23 and am aware of how the current system shook out, if you
24 will, and I've seen some of their analysis.

25 Again, nowhere in my testimony have I said the

1 company has done bad analysis or that it's wrong. I
2 think it doesn't get at all the potential, however.
3 Sometimes it's how you do these things, and there's a
4 connection between the design you assume that you're
5 willing to use, the program design, the strategies, and
6 what you'll see as a reasonable participation rate, for
7 example.

8 So I think that -- these are often called
9 program potential studies, where instead of these
10 theoretical, technical, economic potential studies,
11 which again I've had to do myself, it's much more
12 helpful if you visualize a set of programs aimed at very
13 specific markets, everything from equipment to new
14 construction to existing housing, and bundle these
15 measures in in these marketplaces -- excuse me, markets
16 with very aggressive program designs, and they will let
17 you -- enable you to better project what you can
18 accomplish, what's realistic to accomplish, and then to
19 decide whether it's economic.

20 Again, I think it would require -- let me put
21 it this way. It wouldn't be worth doing over again if
22 the Commission sticks with the RIM test as the guiding
23 economic principle, because that would be the limiting
24 factor. And they could do all the analysis in the
25 world, but my suspicion is that it would -- all the

1 increases would probably fail the RIM test.

2 Q. Do you see a role for the Florida Legislature
3 in improving efficiencies?

4 A. Sure.

5 CHAIRMAN EDGAR: Mr. Krasowski, I think we've
6 gone a bit far afield.

7 MR. KRASOWSKI: Okay. If I could ask just
8 some questions on the Florida Solar Energy Center.

9 CHAIRMAN EDGAR: If they pertain to the issues
10 in the case.

11 MR. KRASOWSKI: Yes. Well, this speaks
12 specifically to efficiency.

13 BY MR. KRASOWSKI:

14 Q. Are you familiar with -- Mr. Plunkett, are you
15 familiar with the Florida Solar Energy Center?

16 A. Familiar wouldn't be the right word. I know
17 of them and have admired them from afar for a long time.

18 MS. SMITH: Madam Chairman, excuse me.
19 There's no reference to the Florida Solar Energy Center
20 in Mr. Plunkett's testimony, so I think again this is
21 beyond the scope.

22 MR. KRASOWSKI: I'll withdraw my question on
23 that.

24 CHAIRMAN EDGAR: Thank you.

25 BY MR. KRASOWSKI:

1 **Q.** Just a couple more questions, Mr. Plunkett.
2 Do you still hold your position that there are
3 efficiencies out there that would allow the deferral of
4 this project?

5 **A.** Yes. I believe market barriers apply in many
6 markets throughout Florida and that these strategies
7 that have worked elsewhere would work here as well, even
8 though the technologies and the performance of any
9 opportunities would be quite different.

10 MR. KRASOWSKI: Madam Chair, is Mr. Plunkett
11 going to be available for questions in the future?

12 CHAIRMAN EDGAR: No.

13 MR. KRASOWSKI: No? This is it?

14 CHAIRMAN EDGAR: That is my understanding. I
15 mean, he's not scheduled to be back before us after the
16 finish of his cross and redirect today at this time.

17 MR. KRASOWSKI: Well, thank you, Mr. Plunkett.
18 I think, other than just having an open conversation
19 about your testimony, I don't know what to do now. But
20 I hope I haven't sold the people of Florida short. So
21 thank you very much. Thank you, Madam Chair.

22 CHAIRMAN EDGAR: Thank you.

23 MR. KRASOWSKI: Apologies for the --

24 CHAIRMAN EDGAR: No, that's fine.

25 Okay. Ms. Perdue.

1 MS. PERDUE: Thank you, Madam Chair.

2 CROSS-EXAMINATION

3 BY MS. PERDUE:

4 Q. Good afternoon.

5 A. Hi.

6 Q. I think we've already established that you do
7 not live in the State of Florida; is that correct?

8 A. That's correct. I visit occasionally. My
9 parents do.

10 Q. I'm sorry?

11 A. My parents live here. I visit occasionally.

12 Q. Okay. Have you ever lived here?

13 A. No.

14 Q. In your analysis that is in your direct
15 testimony, did you review any federal census data
16 relative to Florida's population?

17 A. No.

18 Q. Did you review any state data regarding
19 Florida's population growth?

20 A. No. I reviewed load forecast information and
21 anything that might have been related to that.

22 Q. Did you review any state or federal data
23 regarding job or economic growth in the State of
24 Florida?

25 A. No.

1 **Q.** Did you conduct any studies yourself regarding
2 population growth in the State of Florida?

3 **A.** No, because I didn't think it was necessary to
4 estimate this.

5 **Q.** Did you conduct any studies yourself regarding
6 job growth in Florida?

7 **A.** No, again, for the same reason.

8 **Q.** Did you conduct any studies yourself in the
9 State of Florida regarding housing starts?

10 **A.** No, only insofar as they're reflected in the
11 company's load forecast, which I assume there's plenty
12 of that.

13 **Q.** And so you accept the company's load forecast
14 as correct in your analysis?

15 **A.** Absolutely. I do not question the company's
16 load forecast at all. And housing starts present a
17 major opportunity for efficiency improvement.

18 **Q.** Does your opinion and direct testimony and
19 your underlying analysis of that testimony consider
20 Florida's position as both a national and international
21 competitor with an expanding population and expanding
22 economic base and business community?

23 **A.** Oh, yes. I think that cost-effective energy
24 efficiency would improve California -- sorry, Florida's,
25 not California's, competitive position by reducing the

1 cost of doing business and making firms either more
2 profitable or more competitive or both.

3 Q. Do you agree that an adequate infrastructure,
4 including available and reliable electric services, is a
5 vital requirement for the State of Florida in competing
6 with other states and other countries in attracting
7 businesses to the state?

8 A. I do.

9 Q. Isn't it true that reduced peak demand is what
10 actually defers or reduces the need for power plants?

11 A. Actually, reduced peak demand reduces the need
12 for capacity that's designed to meet system peak. If
13 you mean -- there's also energy requirements that need
14 to be met. In fact, the proposed units are not peaking
15 facilities. They're base load facilities. So reducing
16 the peak demand may or may not reduce the need or the
17 economic need for base load generation.

18 But the way the company has presented its
19 case, it looks like peak demand -- lowering peak demand
20 will reduce the need for the peaking capacity that they
21 seek to obtain from the Glades units.

22 Q. If FPL increased its conservation spending, as
23 your testimony suggests that it should or that it might,
24 there's no proof -- or is there any proof that any such
25 efforts would reduce peak demand in FPL's service

1 territory?

2 **A.** I believe there's evidence that it would. If
3 the company did more of what it's already doing to
4 reduce peak demand, I don't know why you wouldn't
5 believe you would reduce peak demand. If you put in
6 high efficiency air conditioners, why wouldn't that
7 reduce peak demand?

8 **Q.** Well, if the company did more, then does your
9 opinion -- I don't see in your direct testimony any
10 specific conservation measures or programs that would
11 defer the need for the Glades unit. Is there something
12 that I missed in your testimony?

13 **A.** I did not make an application here for
14 approval of any particular programs. I did recommend
15 that the company develop these programs to achieve these
16 savings, but I didn't develop any myself, no.

17 **Q.** Okay. But you basically have asserted the
18 position that FP&L should spend more on conservation
19 measures; is that true?

20 **A.** I said that the company should acquire more,
21 and it costs money to acquire these savings. And so
22 I've recommended a budget that if they -- I believe it
23 has been proven in California and elsewhere that one can
24 invest proportionally more and get deeper savings. So
25 based on that, I believe -- I see no reason why Florida

1 Power & Light couldn't as well.

2 Q. Do you know -- and I don't see in your direct
3 testimony where you've stated that you do, but do you
4 know what the impact on FP&L's customer rates would be
5 if they increased the spending as you've suggested?

6 A. I did not make those calculations.

7 Q. So your analysis of increased conservation
8 spending does not encompass customer rates, is that
9 correct, or the impact on customer rates?

10 A. What mine covers is the effect on total
11 revenue requirements and total bills. I did not look at
12 the effect on units costs, that is, the average cost per
13 kilowatt hour sold, no.

14 Q. In your direct testimony on page 13 at line
15 15, you stated that you believe the Glades units are,
16 and this is the quote, most probably not needed, end
17 quote. Is that your testimony?

18 A. Yes.

19 Q. So you are not stating for sure or for certain
20 that the Glades units are not needed; correct?

21 A. I made a -- I'm not saying with 100 percent
22 certainty, no. I --

23 Q. Okay. Thank you.

24 MR. GUEST: Can he finish his response?

25 CHAIRMAN EDGAR: Did you have additional

1 response to that question?

2 THE WITNESS: I think it is extremely unlikely
3 that they're needed if, and only if, the company does
4 something else. Something is needed if nothing else
5 happens. I believe the company's load forecasts and
6 resource posture speaks for itself.

7 Whether a coal plant is needed or not is
8 another matter, but some new capacity from some source
9 would be needed to meet their reserve requirements by
10 the in-service date for this unit.

11 BY MS. PERDUE:

12 Q. I understand, and I'm going to ask you if you
13 agree, that FPL is ranked number one nationally in
14 conservation management. Do you have any reason to
15 disagree with that?

16 A. It depends on what you mean. Sure, they're
17 the biggest, so I have no doubt that -- and I've seen
18 the numbers myself in the Energy Information
19 Administration that shows on an absolute basis, their kW
20 reductions are the biggest. However, size matters, and
21 on a proportional basis, they're nowhere near the
22 biggest. In other words, if you divide the peak demand
23 savings they're realizing into their total peak demand,
24 it's quite a bit smaller, and they would be ranked well,
25 well behind the first and probably pretty far down the

1 page.

2 Q. But you do agree that currently they are the
3 largest conservation manager in the country? That's
4 what you just said.

5 A. No. I said that they can show that the
6 cumulative peak demand reductions that they've achieved
7 from both load management and energy efficiency is in
8 absolute terms the highest number. That doesn't mean
9 they're the biggest saver of energy. In fact, Vermont
10 probably is on a proportional basis.

11 Q. What's Vermont's population?

12 A. 600,000.

13 Q. So it's much smaller than Florida's.

14 A. And it makes it really, really hard to do
15 efficiency when you've got mountains and an agricultural
16 population. So again, you need to -- you have to scale
17 this thing when you made these comparisons.

18 Q. So the Vermont to Florida comparison would be
19 apples to oranges?

20 A. No. I'm telling you that if you want to
21 compare Vermont's megawatts with FP&L's megawatts, you
22 would have to do it on a relative basis and adjust for
23 the different sizes, that's all.

24 Q. And the different population needs and the
25 different climate and other things like that as well?

1 **A.** No. If you're going to look at everybody --
2 there's nothing wrong with comparing everybody,
3 relatively speaking. You know that their populations
4 are different. You know their appliance mixes are
5 different. It just means they have different
6 opportunities. But when it's all said and done, how
7 deep is the savings potential? We don't have any air
8 conditioning in Vermont to speak of, for example, so we
9 don't get much of our savings from air conditioning.
10 Florida has a lot, and you can get a lot.

11 **Q.** Another witness earlier in this proceeding,
12 Mr. Brandt, testified. Are you familiar with his
13 testimony?

14 **A.** Some of it, yes.

15 **Q.** He testified that FPL is ranked number four
16 nationally in load management. Do you have any reason
17 to disagree with that?

18 **A.** No. I would still want to make it a fair
19 comparison. You would want to scale it. But I -- just
20 for the record here, I'm not actually recommending that
21 they pursue any additional load management.

22 **Q.** Okay. In your testimony -- actually, attached
23 to your direct testimony -- I'm referring to Exhibit
24 JJP-2, and specifically page 2 of 2.

25 **A.** I have it.

1 **Q.** And the title of that is "Energy Efficiency
2 Portfolio Performance Comparison." And this particular
3 chart deals with nonresidential customers; is that
4 correct?

5 **A.** Yes.

6 **Q.** And what is your reason for including this
7 chart with your direct testimony?

8 **A.** I wanted to show it on a sector basis. This
9 is nonresidential. The page before it is residential.
10 And this is one of those things you can adjust for
11 between utilities, because this is the thing that often
12 varies the most, the proportion of residential to
13 nonresidential.

14 So the purpose of this was to show in relative
15 terms what these utilities have been -- how deep their
16 investment has been in terms of spending, what the yield
17 is that they've been getting in terms of kilowatt-hours
18 per dollar spent, as well as the depth of the savings --
19 that's what those columns 1, 2, and 3 are -- throughout
20 the northeastern region where these programs have been
21 going on for the last -- well, at least back to 2001,
22 and use this as a basis, if you will, to sort of find
23 the ones that would be most aggressive that would make
24 sense to help me project and scale savings if FP&L
25 replicated this kind of performance from any one of

1 these places.

2 Q. So am I correct in concluding that you are
3 suggesting that FP&L model its efforts after the states
4 that you have listed on this chart?

5 A. No. I said that it should model its
6 expectations on how much it could save. And the program
7 designs that they're using are also probably worth
8 picking up, but there would need to be modifications to
9 handle the differences, the different opportunities that
10 Florida has.

11 Q. And are there any other states that you've
12 included besides what are listed here, which are
13 Connecticut, Maine, Massachusetts, New Hampshire, New
14 Jersey, Vermont, and the two -- there's a Long Island
15 and a New York State, which I believe are both in New
16 York.

17 A. Yes.

18 Q. Would you agree with me that those states are
19 primarily manufacturing economies rather than service or
20 tourism economies like Florida's?

21 A. No. They're different. They're way
22 different. You know, you could pick one of these out.
23 I mean, Vermont is kind of touristy, because people go
24 there for the opposite reason they come to Florida.
25 They're just not primarily manufacturing. I think

1 there's a lot of service.

2 Q. Would you agree with me that none of these are
3 the tourism industry state that Florida's economy is?

4 A. I would agree with that.

5 MS. PERDUE: Those are all the questions I
6 have, Madam Chair.

7 CHAIRMAN EDGAR: Thank you. Ms. Smith.

8 MS. SMITH: Madam Chairman, I would ask that
9 we mark for identification Mr. Plunkett's -- the
10 deposition transcript of our deposition of Mr. Plunkett
11 taken March 23rd, 2007. I will say that by stipulation
12 of the parties, we've agreed that that can go into the
13 record. I think we're up to 190. We're handing out
14 copies of that deposition transcript now.

15 MR. GUEST: Madam Chairman.

16 CHAIRMAN EDGAR: Mr. Guest.

17 MR. GUEST: Mr. Plunkett's plane leaves in an
18 hour now, so I think we could stipulate to put the
19 deposition in. I think we talked about doing that. And
20 I'll forgo redirect. We could forgo redirect, and your
21 plan will have worked.

22 MS. SMITH: And before we get to that, I will
23 say also that I have no questions, given that the
24 deposition transcript is going into the record.

25 CHAIRMAN EDGAR: Are there questions or

1 comments from staff?

2 MS. BRUBAKER: No questions from staff.

3 CHAIRMAN EDGAR: No questions from staff.

4 Okay. So we are going to enter the deposition into the
5 record. And just let me make sure I haven't missed
6 something. Which will be 190.

7 (Exhibit 190 marked for identification and
8 admitted into the record.)

9 CHAIRMAN EDGAR: I generally prefer it if you
10 let me excuse the witness before they disappear, quite
11 frankly.

12 MR. GUEST: I apologize.

13 CHAIRMAN EDGAR: And I did ask for just a
14 moment also just to make sure we were in order.

15 Okay. So we will enter the deposition, and
16 then we will need to take up the exhibits, 122 through
17 125.

18 (Exhibits 122 through 125 admitted into the
19 record.)

20 CHAIRMAN EDGAR: Ms. Brubaker, is there
21 anything else we need to do before we lose Mr. Plunkett?

22 MS. BRUBAKER: I'm aware of nothing.

23 CHAIRMAN EDGAR: Okay. All right. Thank you,
24 Mr. Plunkett.

25 MR. GUEST: I apologize, Madam Chairman.

1 Are we ready, Madam Chairman?

2 CHAIRMAN EDGAR: I am.

3 MR. GUEST: Good afternoon, Mr. Furman.

4 CHAIRMAN EDGAR: We need to swear Mr. Furman.
5 That's actually what I was waiting for. Are we on the
6 same --

7 MR. GUEST: That was my next question.

8 CHAIRMAN EDGAR: We're on the same track.
9 Okay.

10 MR. GUEST: My first question is have you been
11 sworn.

12 CHAIRMAN EDGAR: Thank you.
13 Thereupon,

14 RICHARD C. FURMAN
15 was called as a witness on behalf of The Sierra Club,
16 Inc., et al. and, having been duly sworn, testified as
17 follows:

18 DIRECT EXAMINATION

19 BY MR. GUEST:

20 Q. Could you please state your name and business
21 address.

22 A. Richard Furman, 10404 Southwest 128th Terrace,
23 Perrine, Florida.

24 Q. By whom are you employed and in what capacity?

25 A. I'm a retired engineer. I'm being retained in

1 this case by The Sierra Club, Save Our Creeks, Florida
2 Wildlife Federation, Environmental Confederation of
3 Southwest Florida, Ellen Peterson, and NRDC.

4 Q. Have you prepared and caused to be filed 29
5 pages of prefiled direct testimony?

6 A. Yes, I have.

7 Q. Have you also prepared and caused to be filed
8 25 pages of prefiled supplemental direct testimony?

9 A. Yes, I have.

10 Q. Do you have any changes or revisions to this
11 testimony?

12 A. Yes. I have a few minor changes.

13 Q. Can you first give us a quick characterization
14 of what these changes are and why you need them?

15 A. Yes. On page 5 of my testimony, line 6, I
16 listed at the time the Department of Energy's list of
17 proposed IGCC projects, which at the time that I
18 prepared that was 28. Then when I prepared my answers
19 to interrogatories, the number had gone up to 32, and I
20 presented that number. And more recently, when I last
21 checked a week or so ago, that number had gone up to 34.
22 Those would be the only -- that would be the update that
23 I would give. And then in my Exhibit Number 2 that I
24 provided as an answer to interrogatories to PSC staff
25 when they asked for a more complete listing and

1 characteristics of those plants, we were able to come up
2 with 39 IGCC plants and a total of 45 if you include
3 polygeneration.

4 Q. With those changes made, if I asked you those
5 questions today, would your answers be same as in your
6 prefiled testimony as revised as you just told us?

7 A. There's one other correction. On page 20 of
8 my testimony, line 12, I had indicated a Department of
9 Energy document that showed 14 operating IGCC plants.
10 Then in my answers to interrogatories, I provided a more
11 updated list which included 17 operating IGCC plants.
12 That would be Exhibit Number 4 in my answer to
13 interrogatories.

14 Q. So with those three changes, would your
15 answers be the same as in your prefiled testimony?

16 A. Yes.

17 MR. GUEST: Madam Chairwoman, I ask that the
18 prefiled testimony be entered into the record as though
19 read with the changes noted.

20 CHAIRMAN EDGAR: The prefiled direct testimony
21 of the witness will be entered into the record as though
22 read with the changes noted by the witness.

23 BY MR. GUEST:

24 Q. Do you have -- are you sponsoring any exhibits
25 with your prefiled testimony?

1 **A.** Yes, I am.

2 **Q.** What are those?

3 **A.** They are copies of the posters that I'm going
4 to be talking from for my summary.

5 MR. GUEST: We have them listed as Exhibits 93
6 through 121.

7 CHAIRMAN EDGAR: Okay. I have 122 to 125.

8 MR. GUEST: Well, let me hand this problem
9 over to someone who knows what they're doing.

10 Our list shows 93 to 121.

11 MS. BRUBAKER: Madam Chairman, if I may.

12 CHAIRMAN EDGAR: Please.

13 MS. BRUBAKER: 122 through 125 are
14 Mr. Plunkett's exhibits.

15 CHAIRMAN EDGAR: Okay. My apologies.

16 MS. BRUBAKER: And up through 121 --

17 CHAIRMAN EDGAR: And apologies again for
18 confusing the two names, which I have done a couple of
19 times today, and I do apologize. Thank you.

20 MR. GUEST: Thank, Madam Chairman.

21

22

23

24

25

1 **I. BACKGROUND AND WORK EXPERIENCE**

2 **Q: Please State Your Name and Address for the Record.**

3 A: My name is Richard C. Furman. My address is 10404 S.W. 128 Terrace,
4 Perrine, Florida 33176.

5 **Q: What Is Your Occupation?**

6 A: I am a retired consulting engineer, and I volunteer my time to advise utilities,
7 government agencies, environmental groups and the public about the potential
8 benefits of using coal gasification technologies. I have testified in previous
9 permit hearings for proposed coal plants concerning emission control
10 technologies, applicable emission regulations and alternative technologies
11 concerning Mercury, NO_x, SO₂, particulate and CO₂ emissions and their
12 associated costs.

13 **Q: How Long Have You Been Retired?**

14 A: Since February 2003.

15 **Q: What Was Your Occupation Before You Retired?**

16 A: During my entire engineering career, I have worked on new energy
17 technologies, alternative fuels for power plants, and pollution control for power
18 plants. Prior to my retirement, I was an independent consulting engineer for 22
19 years to various utility companies, government agencies, process developers and
20 research organizations on the development, technical feasibility and application
21 of new energy technologies and alternative fuels for power plants.

22 **Q: What Did You Do Before You Were An Independent Consulting Engineer?**

23 A: Prior to my work as a consulting engineer, I managed Florida Power & Light's
24 coal conversion program and fuels research and development program, which

1 included the first conversion of a 400 megawatt (400MW) power plant from oil
2 to a coal-oil mixture to reduce oil consumption after the second oil embargo.
3 Prior to this, I directed the engineering study for the conversion of New England
4 Electric's Brayton Point Power Plant, which was the first major conversion of a
5 power plant from oil to coal after the first oil embargo.

6 My first engineering job was working for Southern California Edison
7 Company to modify their power plants for two-stage combustion to reduce
8 nitrogen oxide emissions in 1969.

9 **Q: Please Summarize Your Formal Education.**

10 A: I received my B.S. in Chemical Engineering from Worcester Polytechnic
11 Institute in 1969 and a M.S. in Chemical Engineering from Massachusetts
12 Institute of Technology in 1972. I was a researcher at MIT for the book entitled
13 New Energy Technologies by Hottel and Howard. After researching for this
14 book, I decided to do my Master's thesis on coal gasification because of its
15 potential as a future energy source and its environmental benefits. My Master's
16 thesis at MIT was entitled Technical and Economic Evaluation of Coal
17 Gasification Processes. I was also a teaching assistant at MIT for the courses of
18 Principles of Combustion and Air Pollution and Seminar in Air Pollution
19 Control. A copy of my resume is attached as Exhibit RCF-1.

20 **Q: How Does Your Education and Experience Prepare You to Provide Expert**
21 **Testimony in this Case?**

22 A: Both my education and work have required an in-depth understanding of past,
23 present and new forms of energy technologies that can be used for power plants.
24 My education and work experiences also involved an in-depth understanding of
25 all the various fuels for power plants including the different types of coals, fuel

1 oils, natural gas, petroleum coke, synthesis gas, biomass and refinery wastes.
2 My graduate education and subsequent work experiences have provided me
3 with a detailed understanding of the techniques and costs for controlling power
4 plant pollution including mercury, NO_x, SO₂, CO, particulate matter and CO₂
5 emissions. My prior work for 3 major electric utility companies allowed me to
6 make use of this knowledge to help develop and utilize new fuels and emission
7 control technologies for power plants. My current volunteer experience allows
8 me to keep informed about the latest developments in new energy technologies,
9 coal gasification technologies, fuels for power plants, techniques for controlling
10 power plant emissions, costs associated with the application of these
11 technologies for power plants and the development of new technologies that
12 may be applicable to power plants.

13 **II. SUMMARY OF TESTIMONY**

14 **Q: What Is Your Expert Opinion About the Proposed Plant?**

15 A: My testimony shows that an IGCC plant in Florida can provide electricity at a
16 lower cost than the proposed ultra-supercritical pulverized coal plant. Many
17 utilities around the country are choosing IGCC plants due to IGCC's much
18 lower emissions of all pollutants and its capability to capture CO₂. My
19 testimony shows that an IGCC plant can eliminate between 50 – 90 % of the air
20 pollution that the proposed plant will emit. Various studies have shown that
21 IGCC plants can capture CO₂ at much lower costs than pulverized coal plants.
22 Comparisons of recent permit applications for IGCC plants versus the proposed
23 plant show significantly lower emissions for the IGCC plants. The Clean Air
24 Act specifies that gasification should be evaluated to determine the Best
25 Available Control Technology (BACT).

1 The additional value of an IGCC plant is its ability to use various fuels
2 including coal, petroleum coke, natural gas, biomass and waste materials. This
3 will enable IGCC plants to respond to future changes in fuel costs and changes
4 in environmental regulations. This will provide significant cost savings during
5 the life of the IGCC plants. The modular design of IGCC plants provides
6 additional system reliability, increased efficiencies, fuel flexibility and any
7 possible size.

8 Commercial IGCC plants have been in operation in the U.S. for more
9 than 10 years. Tampa Electric Company has announced that they will build an
10 additional 630 MW IGCC plant for operation in 2013. Chuck Black, the
11 president of Tampa Electric Company, was quoted in Time Magazine
12 (November 2006) as saying “it’s our least cost-generating resources, so we
13 count on it and use it every day as part of our system”. Today there are
14 approximately 130 gasification plants worldwide that produce fertilizers, fuels,
15 steam, hydrogen and other chemicals, and electricity. Of these 130 plants,
16 fourteen are IGCC plants. These IGCC plants have a capacity of 3,880
17 MW(net) and have almost one million hours of operation..

18 The 510 MW and 545 MW IGCC plants that started operation in Italy in
19 2000 and 2001 have demonstrated that IGCC plants can be built with more than
20 one gasifier and operate with more than 90% availability without a spare
21 gasifier. All 4 of GE’s coal gasification plants that where recently built in
22 China have been operating at greater than 90% reliability for the past 3 years.
23 These examples demonstrate that IGCC plants can operate at the 90%
24 availability level required by electric utilities for base load plants.

1 Large size IGCC plants can be built by using multiple gasifiers. This
 2 improves system reliability, increases efficiencies and provides fuel flexibility.
 3 The Nuon utility in The Netherlands and Hunton Energy Group in Texas have
 4 announced plans to build 1200 MW IGCC plants using multiple gasification
 5 “trains” and multiple combined-cycle units.

6 A recent DOE report lists ^{32, 34, 39, 45} ~~28~~ IGCC projects that are planned in the U.S.
 7 by utilities and independent power producers.

8 The Great Plains Synfuels Plant has been gasifying coal since 1984 to
 9 produce synthetic natural gas. It produces enough synthetic natural gas to be
 10 able to supply the fuel for 1000 MW of combined-cycle power plants. Since
 11 2000 this gasification plant has been capturing its CO₂ and transporting it 205
 12 miles by a new pipeline where it is sequestered underground and used for
 13 enhanced oil recovery. This demonstrates that CO₂ can be captured, transported
 14 and sequestered from a commercial gasification plant. No method of CO₂
 15 capture is commercially available or economically viable for the proposed
 16 pulverized coal power plant.

17 The Eastman Chemical Company has been removing the mercury from
 18 their gasification plant for more than 20 years. Recent testing indicates that the
 19 mercury levels in the cleaned gas are at non-detectable levels.

20 IGCC plants produce much less solid wastes and less potential for
 21 ground water contamination than the proposed pulverized coal plant.

22 IGCC plants use 30% to 40% less water than pulverized coal plants.

23 **III. PULVERIZED COAL COMBUSTION AND GASIFICATION**

24 **TECHNOLOGIES**

25 **Q. What are the Differences Between Combustion and Gasification?**

1 A: It is important to understand the difference between combustion which is used
2 in a coal power plant and coal gasification which is used in an IGCC plant.
3 Exhibit RCF-2 shows the differences between combustion and gasification. The
4 coal boiler operates at 1800 F and atmospheric pressure. The coal gasifier
5 operates at 2600 F and 40 atmospheres pressure. The flow meters show the
6 pounds of material that need to be processed for the same amount of electricity.
7 Prior to gasification the nitrogen is separated from the air and the oxygen alone
8 is used in the gasifier. Therefore for the same amount of electricity the gasifier
9 produces 173 pound of synthesis gas versus 1000 pounds of exhaust gas from
10 the boiler. Since the gasifier operates at higher pressure there is also a much
11 smaller volume of gas that needs to be treated for pollutants and therefore the
12 size of the equipment and capital cost is much smaller. The exhaust gas volume
13 that needs to be treated from a coal boiler is 160 times larger than the volume of
14 the synthesis gas that can also be cleaned of pollutants. The form of the
15 pollutants from the gasifier makes it possible for very efficient recovery of
16 potential pollutants using proven commercially available equipment that is
17 operating in the natural gas and petrochemical industries. Proven commercially
18 available technologies are not presently available for the proposed new coal
19 boilers for mercury and CO₂. This is one of the main reasons that we need to use
20 gasification.

21 **Q. What Is Integrated Gasification Combined Cycle (IGCC)?**

22 A. Integrated Gasification Combined Cycle (IGCC) is the efficient integration of
23 the coal gasification process with the pre-combustion removal of pollutants and
24 the generation of electricity using a combined cycle power plant. Due to the
25 high pressure and low volume of the concentrated synthesis gas that is produced

1 it is capable of higher levels of pollutant removal at lower costs than pulverized
2 coal (PC) combustion.

3 Exhibit RCF-3 shows the various parts of an IGCC plant that will be described.

4 IGCC is a method of producing electricity from coal and other fuels. In
5 an IGCC plant, coal is first converted to synthesis gas (also called syngas)
6 composed primarily of hydrogen, carbon monoxide and carbon dioxide. After
7 removing particulate matter, sulfur, mercury and other pollutants, the cleaned
8 syngas is combusted in a combined-cycle power plant to produce electricity.

9 In the first step of the IGCC process, coal is slurried with either water or
10 nitrogen and enters the gasifier. It is mixed with oxygen, not air, which is
11 provided to the gasifier from an air separation unit. The coal is partially
12 oxidized at high temperature and pressure to form syngas. The syngas leaves
13 the gasifier, while the solids are removed from the bottom of the gasifier. The
14 operating conditions in the gasifier vitrify the solids. In other words, the solids
15 are encased in a glass-like substance that makes them less likely to leach into
16 groundwater when disposed of in a landfill as compared to solid wastes from a
17 conventional coal plant.

18 After leaving the gasifier, the syngas undergoes several clean-up
19 operations. Particulate matter is removed. Next, a carbon bed can be used to
20 take out mercury. Finally, sulfur (in the form of H₂S) is removed from the
21 syngas in a combination of steps that usually involve hydrolysis followed by an
22 adsorption operation using MDEA (methyldiethanolamine) or Selexol. The
23 H₂S that is removed from the syngas is usually converted into elemental
24 commercial-grade sulfur using a Clauss plant.

1 The clean syngas enters a combustion turbine where it is burned to
2 produce electricity. The heat from the exhaust gases is captured in a heat
3 recovery steam generator (HRSG) and the resulting steam is used to produce
4 more electricity. The combustion turbine, combined with the HRSG, is the
5 same configuration commonly used for natural gas combined cycle (NGCC)
6 plants. In Europe and Japan, some IGCC units have installed selective catalytic
7 reduction (SCR) to control nitrous oxides (NO_x) emissions from the turbine, but
8 in the United States, NO_x emissions at existing IGCC plants have been reduced
9 with diluent injection only.

10 **Q: What are the Other Advantages of Using Gasification Plants?**

11 **A:** Gasification, which is also called Partial Oxidation, can use a wide range of
12 fuels and can produce a wide range of products as shown in Exhibit RCF-4.

13 The fuel flexibility of gasification is demonstrated by its ability to use all
14 types of coal, petroleum coke, biomass, refinery wastes, and waste materials.
15 The synthesis gas that is produced consists of mainly carbon monoxide (CO)
16 and hydrogen (H₂) which are used as the raw materials to produce (or synthesis)
17 a wide range of chemicals. This synthesis gas can also be used as fuel directly
18 for a combined cycle power plant called an IGCC (Integrated Gasification
19 Combined Cycle) plant. It can be further processed in a shift reactor to produce
20 hydrogen and carbon dioxide (CO₂). The hydrogen can be used as a fuel or
21 used to improve fuel quality in a refinery. The CO₂ can be used for enhanced
22 oil recovery to produce addition oil from aging oil fields. The CO and H₂ can
23 also be further processed by the Fischer-Tropsch Process to produce liquid
24 fuels. This demonstrates the wide range of products that can be produced by
25 gasification. The production of multiple products from a single plant is called

1 polygeneration. Economic analyses have indicated that polygeneration of fuels,
2 chemicals and electricity improves the profitability of gasification plants.

3 **IV. COST OF ELECTRICITY FROM PULVERIZED COAL AND IGCC**
4 **PLANTS**

5 **Q. Did You Compare the Cost Of Electricity Produced from a New IGCC**
6 **Plant in Florida With the Cost Of Electricity from a New Ultra-Super**
7 **Critical Pulverized Coal Plant in Florida?**

8 A. Yes.

9 Exhibit RCF-5 shows that the costs of electricity for the three types of
10 proposed Pulverized Coal (PC) Plants are higher than the cost of electricity for
11 an IGCC plant using Petroleum Coke (PetCoke) in Florida. Although the IGCC
12 plant has a higher capital cost than the PC plants it has a significantly lower fuel
13 cost when using petcoke. The U.S. petroleum refineries in the Gulf coast
14 produce over 25 million tons per year of fuel-grade petcoke that can be used by
15 IGCC plants. This petcoke can provide over 10,000 MW of new generating
16 capacity in the U.S. At the present time almost all of this petcoke is exported to
17 other countries that allow the higher emissions of SO₂ that petcoke produces.
18 The use of petcoke in the U.S. requires the installation of additional FGD
19 systems to PC plants which is usually cost prohibitive. IGCC plants can
20 effectively remove the sulfur from petcoke and sell it as a value added product.
21 Florida's proximity to the Gulf coast refineries enables Florida's utilities to
22 make use of this waste material while reducing emissions and lowering their
23 cost of electricity. Therefore the lowest cost alternative for Florida is the use of
24 IGCC plants utilizing petcoke. Three companies have recently announced that
25 they plan to build petcoke IGCC plants in the U.S. For the past 10 years Tampa

1 Electric has been using petcoke in their 250 MW IGCC plant and have recently
2 announced that they will build an additional 630 MW IGCC plant for operation
3 in 2013. Tampa Electric's President Chuck Black was recently quoted as
4 saying: "it's our least cost-generating resource, so we count on it and use it
5 every day as part of our system" in the November 2006 issue of Time
6 Magazine, Inside Business.

7 The sources of data for Exhibit RCF-5 - Cost of Electricity Comparison
8 Chart for Florida are:

9 1. Capital, O&M and all non-fuel costs are based upon: Department of
10 Energy/NETL Presentation, Federal IGCC R&D: Coal's Pathway to the
11 Future, by Juli Klara, presented at GTC, Oct. 4, 2006.

12 2. Efficiencies and fuel consumption calculations are based upon: EPA
13 Final Report, Environmental Footprints and Costs of Coal-Based
14 Integrated Gasification Combined Cycle and Pulverized Coal
15 Technologies, July 2006.

16 3. Fuel costs are based upon: Department of Energy, Energy Information
17 Administration, Average Delivered Cost of Coal and Petroleum Coke to
18 Electric Utilities in Florida, 2005 and 2004.

19 **Q: What are the Additional Costs for Capturing CO₂ from Pulverized Coal**
20 **and IGCC Plants?**

21 A: IGCC plants are capable of capturing CO₂ at much lower costs than pulverized
22 coal plants. The capture, transporting and sequestering of CO₂ is being done on
23 a commercial scale at the Great Plains Synfuels Plant which will be described in
24 later testimony. Studies performed by the DOE, American Electric Power

1 (AEP), GE and others all show that IGCC plants will be more cost effective
2 than pulverized coal plants when carbon reductions are required.

3 Exhibit RCF-6 by GE shows the additional cost that must be added to
4 super-critical pulverized coal (SCPC) plants and IGCC plants for CO₂ capture.
5 The table shows the energy penalty and added capital costs for CO₂ capture.
6 The use of a cost for carbon emissions in planning is reasonable given the high
7 likelihood that carbon will be regulated in the future. This exhibit shows the
8 Cost of Energy (COE) for plants designed with the capability to remove CO₂.
9 The COE with CO₂ capture for PC plants will be an unacceptable 8.29
10 cents/kwh compared to the COE with CO₂ capture for IGCC plants of 6.90
11 cents/kwh. This is a 66% increase for PC plants compared to a 25% increase for
12 IGCC plants.

13 **Q. Do the Other Studies Confirm these Results of Significantly Lower Costs**
14 **for Capturing CO₂ in IGCC Plants?**

15 A. Yes.

16 Exhibit RCF-7 is from a recent U.S. Dept. Of Energy (DOE)
17 Presentation that shows significantly lower future electric costs for IGCC plants
18 than pulverized coal plants. It is important to note that this study was for a mid-
19 west location and petcoke was not included as a potential fuel for the IGCC
20 plant.

21 This DOE study shows a 30% increase in COE for IGCC with CO₂
22 capture versus a 68% increase in COE for PC with CO₂ capture. This confirms
23 the GE results which show a 25% increase in COE for IGCC with CO₂ capture
24 versus a 66% increase in COE for PC with CO₂ capture.

1 This exhibit shows that the cost of electricity from an IGCC plant using
2 coal and located in the midwest is 5.26 cents per kilowatt-hour compared to
3 4.97 cents per kilowatt-hour for the Pulverized Coal (PC) plant. Therefore the
4 significant emission reductions by using IGCC will only increase the cost of
5 electricity by 0.29 cent per kilowatt-hour. This chart also shows that with future
6 requirements to reduce carbon dioxide (CO₂) emissions the cost of electricity
7 for PC plants will increase to 8.35 cents per kilowatt-hour while only increasing
8 to 6.84 cents per kilowatt-hour for the IGCC plant. That amounts to an increase
9 in the cost of electricity of 3.38 cents per kilowatt-hour for the PC plant.
10 Therefore the IGCC plants will be less expensive to operate in the future. The
11 net result is much cleaner air now and lower cost electricity in the future.

12 **V. AIR POLLUTANT EMISSIONS FROM PULVERIZED COAL AND**
13 **IGCC PLANTS**

14 **Q: Are the Emissions from Ultra Super-critical Pulverized Coal (USPC)**
15 **Plants Significantly Higher Than IGCC Plants? If So, Explain.**

16 **A:** Yes.

17 Exhibit RCF-8 shows the much lower emissions that are produced from
18 Integrated Gasification Combined Cycle (IGCC) plants than Ultra Super-critical
19 Pulverized Coal (USPC) plants. I prepared this exhibit to show that by using
20 IGCC plants to produce the same amount of electricity as USPC plants will
21 dramatically reduce emissions. The use of IGCC plants will produce:

- 22 • 84% less smog forming gases (NO_x)
- 23 • 88% less acid rain gases (SO₂)
- 24 • 42% less soot or fine particulate (PM10)

1 • 65% less brain damaging mercury (Hg) and the
2 potential for

3 • 90% less global warming gases (CO₂)

4 The potential for future electric cost increases due to future
5 environmental regulations is less for IGCC because IGCC plants can control all
6 emissions more economically than PC plants.

7 I prepared these emission calculations based upon:

- 8 1. The best available control technology as reported in EPA Final
9 Report, Environmental Footprints and Costs of Coal-Based Integrated
10 Gasification Combined Cycle and Pulverized Coal Technologies, July 2006;
- 11 2. DOE Final Report, Major Environmental Aspects of Gasification-
12 Based Power Generation Technologies, Dec. 2002 and
- 13 3. Test results from Eastman's gasification process using activated
14 carbon beds for mercury removal.

15 **Q: The EPA Report that you used for your Comparison of Emissions is Based**
16 **upon a Standard USPC Plant with Emission Levels Slightly Different than**
17 **the Emission Levels Proposed for the FGPP Plant. How do the Emission**
18 **Levels of the Proposed FGPP Plant Compare with an IGCC Plant?**

19 A: Exhibit RCF-9 shows the tons per year (or pounds per year) of emissions for the
20 proposed FGPP plant and an IGCC plant producing the same amount of
21 electricity.

22 This chart shows that an IGCC plant producing the same amount of
23 electricity as the proposed FGPP plant will dramatically reduce emissions. The
24 use of IGCC plants will produce:

25 • 84% less smog forming gases (NO_x)

- 1 • 79% less acid rain gases (SO₂)
- 2 • 56% less soot or fine particulate (PM10)
- 3 • 67% less brain damaging mercury (Hg) and the
- 4 potential for
- 5 • 90% less global warming gases (CO₂)

6 I prepared these emission calculations based upon:

- 7 1. The emissions data from the Permit Application for FPL Glades
- 8 Power Park, Dec. 2006;
- 9 2. The best available control technology as reported in EPA Final
- 10 Report, Environmental Footprints and Costs of Coal-Based Integrated
- 11 Gasification Combined Cycle and Pulverized Coal Technologies, July 2006;
- 12 3. DOE Final Report, Major Environmental Aspects of Gasification-
- 13 Based Power Generation Technologies, Dec. 2002 and
- 14 4. Test results from Eastman's gasification process using activated
- 15 carbon beds for mercury removal.

16 **Q. Do Recent IGCC Plants' Permit Levels and Proposed**
17 **Permit Levels Confirm that these Significantly Lower Levels of Emissions**
18 **Provided in these Studies can be Produced in Actual Plants?**

19 A. Yes.

20 Exhibit RCF-10 shows a summary of emissions from recent IGCC
21 permits and proposed permit levels. This table summarizes proposed emission
22 levels from IGCC plants that have recently received or applied for air permits.
23 The majority of IGCC plants proposed in the last 12 months have sought to
24 control sulfur using Selexol, a more effective control strategy than MDEA.
25 These plants include, AEP in Ohio and West Virginia, Northwest Energy,

1 Tondu, Duke, ERORA (Illinois and Kentucky). Only one air permit application
2 filed in the last 12 months, Mesaba (filed June 2006) uses the less effective
3 MDEA. Selexol effectively removes sulfur levels to between 0.0117 to 0.019
4 lb/MMBtu heat input into the gasifier.

5 As this table shows, a majority of IGCC plants that have filed
6 applications in the last 12 months include SCRs to control NO_x. These include,
7 Northwest Energy, Tondu, ERORA in Illinois and Kentucky, and Duke in
8 Indiana (The Duke plant includes and SCR, but bases reductions on diluent
9 injection only). The NO_x emission rates for SCR controlled IGCC plants is
10 0.012 - 0.025 lb/MMBtu based upon heat into the gasifier.

11 These trends toward Selexol and SCR adoption are occurring faster than
12 EPA predicted in its July 2006 report, Environmental Footprints and Costs of
13 Coal-Based Integrated Gasification Combined Cycle and Pulverized Coal
14 Technologies. The July 2006 EPA report assumed that MDEA and diluent
15 injection would be BACT for the near-term. This report was based upon a
16 “snap shot” of IGCC permits that is out of date. As this table shows, the market
17 has responded with technology faster than the EPA report anticipated.

18 In deciding which emission rates to compare to the FGPP plant's
19 proposed emission rates, the highest weight should be placed on recently
20 proposed IGCC plants because they represent the most current view of IGCC
21 permit levels. The least weight should be placed on existing IGCC plants and
22 IGCC plants with permits issued prior to 2003 because they do not represent the
23 capabilities of current IGCC technology.

24 **Q. What are the Emission Rates from the Proposed FGPP**
25 **Plant and How do they Compare with Recent IGCC Permit Applications?**

1 A. Exhibit RCF-11 summarizes the range of recently filed air permits for IGCC
2 plants (filed in the last 12 months) and compares them to the proposed emission
3 levels for the FGPP plant. An IGCC plant would have significantly lower
4 emissions of all pollutants than the proposed FGPP plant.

5 Exhibit RCF-11 shows that:

6 An IGCC plant with the Selexol process would emit only 29% to 47% of
7 the sulfur dioxide of the proposed FGPP plant.

8 An IGCC plant with the SCR process would only emit 24% to 50% of
9 the nitrogen oxides of the proposed FGPP plant.

10 An IGCC plant would only emit 48% of the particulate mater of the
11 proposed FGPP plant.

12 An IGCC plant would only emit 16% to 46% of the mercury of the
13 proposed FGPP plant.

14 An IGCC plant would also be expected to emit about three-quarters less
15 CO and significantly less sulfuric acid mist and VOCs than the proposed FGPP
16 plant.

17 **VI. THE CLEAN AIR ACT AND BEST AVAILABLE CONTROL**
18 **TECHNOLOGY (BACT)**

19 **Q. Should IGCC Technology be Evaluated as Part of the BACT Analysis for a**
20 **New Power Plant?**

21 A. Yes.

22 Exhibit RCF-12 shows the definition of BACT that is included in the Clean
23 Air Act. Exhibit RCF-12 also shows why Senator Huddleston proposed the
24 amendment that included the words “innovative fuel combustion techniques for

1 control of each pollutant” to The Clean Air Act’s definition of BACT. Senator’s
 2 Huddleston words from the Congressional Record are:

- 3 • “And I believe it is likely that the concept of BACT is intended to
 4 include such technologies as low Btu gasification and fluidized bed
 5 combustion. But, this intention is not explicitly spelled out, and I am
 6 concerned that without clarification, the possibility of misinterpretation
 7 would remain.
- 8 • It is the purpose of this amendment to leave no doubt that in determining
 9 best available control technology, all actions taken by the fuel user are to
 10 be taken into account – . . . [including] gasification, or liquefaction . . .
 11 which specifically reduce emissions.”

12 Senator Huddleston’s amendment was accepted as part of the definition of
 13 BACT in The Clean Air Act. Therefore IGCC technology should by law be
 14 evaluated as part of the BACT analysis for a new power plant.

15 **VII. TAMPA ELECTRIC COMPANY (TECO) AND IGCC**

16 **Q. How Long have Commercial Size IGCC Plants been in Operation in the**
 17 **U.S.?**

18 **A.** Commercial IGCC plants have been in operation for more than 10 years in the
 19 U.S.

20 Exhibit RCF-13 shows the Polk Power Plant near Tampa, FL which is a
 21 greenfield site and the Wabash Power Plant in Indiana which is a conversion of
 22 an existing plant.

23 Tampa Electric Company’s (TECO) Polk Power Station began operation
 24 in 1996. It produces 250 MW (net) of electricity. It uses a Texaco (now GE)
 25 oxygen-blown gasification system. Power comes from a GE 107FA combined

1 cycle system. During the summer peak power months, availability is greater
2 than 90 percent when using back-up fuel.

3 The Wabash River Coal Gasification Repowering Project in Indiana
4 began operation in November 1995. It demonstrated the repowering of an
5 existing coal plant to IGCC. The plant uses an "E-Gas" oxygen-blown
6 gasification system which is sold by ConocoPhillips.

7 For larger size plants, multiple units are being proposed which will
8 improve system availability and reduce costs by making use of standard,
9 modular designs.

10 **Q. Have the Utilities Involved with these IGCC Plants Announced Plans to**
11 **Build Other IGCC Plant?**

12 A. Yes.

13 Tampa Electric Company has announced that they will build an
14 additional 630 MW IGCC plant at the Polk Power Plant for operation in 2013.
15 Tampa Electric started operation of its existing 315 MW(gross)/250MW(net)
16 IGCC plant in October, 1996 and has recently celebrated its 10th year
17 anniversary. It is the lowest cost plant to operate on Tampa Electric's System
18 and has won numerous environmental awards.

19 Cinergy was the utility partner that was part of the Wabash IGCC plant.
20 Cinergy has now merged with Duke Energy. Duke Energy has announced that
21 they will build a 630 MW IGCC plant to be built at their Edwardsport
22 Generating Station in Edwardsport, Indiana.

23 There are at least twenty-eight (28) IGCC plants being planned in the
24 United States by utilities and independent power producers.

25 **Q. Why are the Stacks of PC Plants So Much Taller Than**

1 **the Stacks of IGCC Plants?**

2 A. A tall stack is required on all PC plants because the emissions are so high that a
3 significant amount of dilution is required before the ground level emissions are
4 within acceptable limits for people to breath. The proposed FGPP plant is
5 designed with a 500 foot stack compared to the 120 foot stack at Tampa
6 Electric's IGCC plant. Exhibit RCF-14 is a picture that demonstrates the
7 significantly lower emissions from IGCC plants by the facts that the IGCC stack
8 is clear and that there is no need for a tall stack. The much taller PC stack also
9 decreases property values in a much larger surrounding area. This IGCC plant
10 was designed about 15 years ago. Since then significant improvements have
11 been made in IGCC emissions control which enable much lower emission levels
12 than what was required for this IGCC plant 15 years ago. Therefore any
13 emissions comparison should be based upon the best available control
14 technologies (BACT) for PC and IGCC plants that are currently being built.

15 **VIII. REFERENCES TO CONTACT FOR PC AND IGCC PLANTS**

16 **Q. What Government Officials and Power Plant Managers are the Most**
17 **Informed about the Advantages and Disadvantages of Using PC and IGCC**
18 **Technologies for New Power Plants?**

19 A. Exhibit RCF-15 shows references that I recommend to be contacted prior to
20 anyone making a decision on which technology to use for a new power plant.
21 Each of them have agreed to be contacted to provide their advise concerning
22 their decision process in evaluating PC and IGCC plants.

23 **IX. COMMERCIALLY OPERATING AND PLANNED IGCC PLANTS**

24 **Q. Please Describe the Types and Number of Commercially Operating**
25 **Gasification Plants.**

1 A. Exhibit RCF-16 shows the results of the 2004 world survey of operating
2 gasification plants prepared by the Gasification Technologies Council for the
3 Department of Energy.

4 Gasification dates back to the 18th century, when “town gas” was
5 produced using fairly simple coal-based gasification plants. But what we think
6 of as modern gasification technology dates back to the 1930’s when gasification
7 was developed for chemicals and fuels production. Today (2007), there are
8 around 130 gasification plants worldwide that produce fertilizers, fuels, steam,
9 hydrogen and other chemicals, and electricity. Of these 130 plants, fourteen
10 are IGCC plants.

11 **Q. How Many Commercially Operating IGCC Plants Are There?**

12 A. Exhibit RCF-17 from a Department of Energy presentation shows ¹⁷~~fourteen (14)~~
13 commercially operating IGCC plants. Together, these plants have a capacity of
14 3,880 MW(net) and have almost one million hours of operation on syngas.

15 These plants use a variety of fuels including coal, petroleum coke,
16 biomass, and refinery residues.

17 Four IGCC plants tend to be the focus of utility interest because they
18 were designed to use coal: 1) Wabash, Indiana, 2) Polk, Florida, 3) Nuon,
19 Netherlands, and 4) Elcogas, Spain. These four commercial IGCC plants have
20 been operating from 10 to 13 years. They have successfully integrated the
21 gasification process with the combined cycle power plant to enable more
22 efficient use of coal while significantly reducing emissions. These plants range
23 in size from 250 to 320 MW per unit.

24 A second set of plants built after Wabash, Polk, Nuon, and Elcogas are
25 also important in the progression of IGCC. These plants operate at refineries in

1 Italy. They are: Sarlux 545 MW, Sardinia; ISAB Energy 510 MW, Sicily; Api
2 Energia 280 MW, Falconara; and Eni Power 250 MW, Ferrera. The first two
3 demonstrate that IGCC plants can be built at a scale above 500 MW. Three of
4 the plants were built using non-recourse project financing provided by over 60
5 banks and other lending institutions. They show that IGCC can be a
6 commercially bankable technology.

7 Both the Salux and ISAB Energy plants use more than one gasification
8 “train” and operate with more than 90 percent availability without a spare
9 gasifier. The Italian experience with IGCC, while using refinery residues as
10 fuel, is relevant to discussions of coal-fired or petcoke-fired IGCC, because
11 essentially the same equipment is utilized in both instances, differing only in the
12 feed preparation and how solids are removed.

13 The first commercial-scale demonstration IGCC plant in the United
14 States was Southern California Edison's Cool Water Plant located at Barstow,
15 California. It operated between 1984 and 1989. The plant successfully utilized
16 a variety of coals, both subbituminous and bituminous, and had a feed of about
17 1,200 tons/day. The project used an oxygen-blown Texaco gasifier with full
18 heat recovery using both radiant and convective syngas coolers.

19 **Q. Can You Describe the Types of IGCC Projects being Developed in the**
20 **U.S.?**

21 A. Exhibit RCF-18 shows some of the publicly announced IGCC and gasification
22 projects in the U.S.

23 The range of IGCC projects under development in the United States
24 includes proposals that would be fueled with petroleum coke, bituminous coal,
25 subbituminous coal, and lignite. For example, the Department of Energy

1 announced in August 2006 that it had received tax credit applications under the
2 Energy Policy Act of 2005 from 18 IGCC projects-- 10 using bituminous coal,
3 six using subbituminous coal, and two that would use lignite. The source of this
4 data is from the Department of Energy, Fossil Energy Techline, issued August
5 14, 2006, Tax Credit Programs Promote Coal-Based Power Generation
6 Technologies.

7 IGCC technology is commercially available from five major companies:
8 GE, ConocoPhillips, Siemens, Shell and Mitsubishi Heavy Industries (MHI).
9 The gasification industry has undergone many changes in the past few years that
10 have given confidence to industry and lenders that IGCC can obtain sufficient
11 performance warranties to build new IGCC plants. GE, a major company in the
12 power field, has purchased ChevronTexaco's gasification business, and has
13 partnered with Bechtel to offer fully warranted IGCC plants. ConocoPhillips
14 has purchased the E-Gas technology from Global Energy. Siemens has
15 purchased the German gasification technology formerly offered by Future
16 Energy. Shell has partnered with Udhe and Black and Veatch.

17 **Q. Is there a List of the IGCC Projects that are Presently Under Development**
18 **in the U.S.?**

19 A. Yes.

20 Exhibit RCF-19 is a recent list presented by DOE that shows some of the
21 gasification projects that are being developed in the U.S.

22 A recent DOE Report lists 28 IGCC projects that are planned in the U.S. by
23 utilities and independent power producers. This Department of Energy Report
24 is Tracking New Coal-Fired Power Plants, by Scott Klara and Eric Shuster,
25 September 29, 2006.

1

2 **X. SIZE AND AVAILABILITY OF NEW IGCC PLANTS**3 **Q. Is it Possible to Build the Large Size IGCC Plants that are Needed for the**
4 **FGPP Plant?**5 **A.** Yes.6 Large size plants are being built using modular designs that improve
7 system reliability, increase efficiencies and provide fuel flexibility.8 The Nuon Utility in the Netherlands, Belgium and Germany has been
9 successfully operating an IGCC plant on coal and biomass for the past 12 years
10 at about 253 MW. Nuon recently announced that they are building a 1200 MW
11 plant which will consist of four 300 MW units. This design shown in Exhibit
12 RCF-20 requires no additional scale-up from the design of their existing plant
13 and makes use of readily available combined-cycle plants that have been used
14 with natural gas. This modular design provides additional system reliability,
15 increased efficiencies, fuel flexibility and any possible size.16 The standard IGCC unit is now 300 MW. Most manufacturers are
17 supplying 600 MW plants which consist of two 300 MW units. This is due to
18 the fact that the gasifiers have been sized to produce the amount of synthesis gas
19 needed for the 300 MW combined-cycle plants that are already in-service using
20 natural gas. Therefore the 630 MW unit that Tampa Electric is building for
21 operation in 2013 consists of two units the same size as their existing unit that
22 has been operating for the past 10 years. Therefore there is no additional scale-
23 up required. Any large size plant can be built by using additional 300 MW
24 units. Three manufacturers have 300 MW IGCC units that have been operating
25 successfully for the last 10 to 13 years. GE states that "IGCC technology can

1 satisfy output requirements from 10 MW to more than 1500 MW, and can be
2 applied in almost any new or repowering project where solid and heavy fuels
3 are available." The source of this quote is from:

4 www.gepower.com/prod_serv/products/gas_turbines_cc/en/igcc/index)

5 **Q. Have Recent Coal Gasification Plants and IGCC Plants Demonstrated**
6 **Reliabilities Above 90% Required by the Utility Industry?**

7 A. Yes.

8 Now GE offers to take on responsibility for everything "From Coal off
9 the Coal Pile to Electrons on the Grid" by Ed Lowe, GE General Manager of
10 Gasification from Time Magazine, Inside Business, November, 2006.

11 Exhibit RCF-21 is a chart by GE which shows that their 4 new coal
12 gasification plants that have been operating in China for the past 3 years have
13 been operating at greater than 90 % reliability.

14 An additional advantage of an IGCC plant is that it can operate on various fuels.
15 If the gasifier is out-of service for maintenance the power plant can still operate
16 on natural gas or diesel fuel. This is not possible with a PC plant which is
17 usually designed for one type of coal. Older IGCC plants built in the early
18 1990s such as Polk and Wabash that operate without a spare gasifier have
19 demonstrated availabilities above 85%.

20 A recent Gas Turbine World article reported on the capacity factors of
21 the more recently built IGCC plants in Italy that utilize refinery waste such as
22 asphalt as a fuel. As the report notes, the availability of these plants are
23 between 90% and 94%. The source of this data is from Refinery IGCC plants
24 are exceeding 90% capacity factor after 3 years, by Harry Jaeger, Gas Turbine
25 World, January-February 2006.

1 Major vendors of IGCC plants such as GE, Shell and ConocoPhillips
 2 will warrant that new IGCC plants will achieve greater than 90% availability
 3 with a spare gasifier. The economic comparisons conducted for Tampa
 4 Electric's IGCC plant indicate that it is more cost effective to operate on natural
 5 gas or diesel fuel than to build a spare gasifier to increase plant availability.
 6 Tampa Electric's IGCC plant has demonstrated reliability to produce electricity
 7 of 95% with their dual fuel capability. This is greater than PC plants that do not
 8 have dual fuel capability. The source of this data is from Tampa Electric's
 9 Presentation of Operating Results, by Mark Hornick, Plant Manager, presented
 10 during plant tours.

11 Therefore IGCC plants are being built without a spare gasifier. They
 12 will be able to operate above 90% availability by using their back-up fuel of
 13 either natural gas or diesel.

14 Reliability and availability are measures of the time a plant is capable of
 15 producing electricity. Reliability takes into account the amount of time when a
 16 plant is not capable of producing electricity because of unplanned outages.
 17 Availability takes into account the time when a plant is not capable of producing
 18 electricity because of planned and unplanned outages.

19 **XI. THE GREAT PLAINS SYNFUELS PLANT**

20 **Q. Are There Any Commercially Operating Gasification Plants That Are**
 21 **Capturing CO₂?**

22 **A.** Yes.

23 Exhibit RCF-22 shows the Great Plains Synfuels Plant in Beulah, North
 24 Dakota which is a good example of a commercial gasification plant. It began
 25 operating in 1984 and today produces more than 54 billion cubic feet of

1 Synthetic Natural Gas (SNG) from 6 million tons of coal per year. If the SNG
2 from this one plant were used in combined-cycle power plants there would be
3 enough fuel for more than 1,000MW of generating capacity.

4 Adjacent to the Great Plains Synfuels Plant is the Antelope Valley
5 Station which consists of two 440 MW lignite coal power plants that also started
6 operation on lignite in the early 1980s.

7 Both plants are owned by the Basin Electric Power Cooperative. Al
8 Lukes, Senior Vice President and COO of the Dakota Gasification Company,
9 presented a paper at the 2005 Gasification Technologies Conference entitled
10 Experience with Gasifying Low Rank Coals which showed the significantly
11 lower emissions from the coal gasification plant than the coal-fired power plant.
12 I recently asked Al Lukes which technology he would select today for a power
13 plant, and he said “definitely the gasification technology”.

14 **Q. Has the Great Plains Synfuels Plant been Able to Commercially**
15 **Demonstrate that the CO₂ from this Coal Gasification Plant can be**
16 **Economically Captured and Sequestered?**

17 A. Yes.

18 Carbon dioxide capture, transportation and sequestration has been
19 operating commercially since 2000 at the Great Plains Synfuels Plant. In 2000,
20 the Great Plains Synfuels Plant added a CO₂ recovery process to capture the
21 CO₂. It transports the CO₂ by pipeline 205 miles, as shown in Exhibit RCF-23,
22 to the Weyburn oil fields where it is used for enhanced oil recovery (EOR). In
23 this way, the CO₂ does not become a global warming emission source but is
24 sold as a useful byproduct to recover additional oil from depleted oil fields and
25 the CO₂ is sequestered underground. This CO₂ recovery process is expected to

1 help extract 130 million extra barrels of oil from this oil field. This
2 demonstrates the ability to efficiently capture and sequester the CO2 from the
3 gasification process.

4 **XII. ENVIRONMENTAL IMPACT COMPARISONS OF PC AND IGCC**
5 **PLANTS**

6 **Q: What Mercury Control Technology is Used With IGCC Plants that Can**
7 **Remove So Much More Mercury Than What can be Removed from the**
8 **Proposed FGPP Plant?**

9 A: The efficient mercury removal process that will be used for IGCC plants has
10 been commercially operating for more than 21 years.

11 The plant shown in Exhibit RCF-24 uses activated carbon beds for
12 removing more than 94% of the mercury from the synthesis gas of this coal
13 gasification plant. Mercury testing has indicated non-detectable mercury levels
14 in the synthesis gas. However it is not economically possible to use this
15 efficient mercury removal process for conventional Pulverized Coal (PC) plants
16 due to the much larger quantities of stack gas in a PC plant. The stack gas (also
17 called flue gas) from proposed PC plants will be 160 times the volume of the
18 synthesis gas that will be treated in an IGCC plant. It is not economically
19 feasible to treat this much larger volume of stack gas using this much more
20 efficient process. Therefore FPL has proposed the much less expensive and
21 much less efficient technology of activated carbon injection (ACI) that has not
22 undergone long term testing at the commercial scale that should be required for
23 these plants. Therefore a recent Electric Power Research Institute (EPRI)
24 Journal article titled Mercury Control for Coal-Fired Power Plants, Summer
25 2005, page 19 states:

1 **“No technology designed specifically to control mercury in coal**
2 **plants is in use anywhere in the world, or has even undergone long**
3 **term testing.”**

4 What this means is that the proposed technology of activated carbon
5 injection (ACI) that FPL has proposed has not undergone long term testing at
6 the commercial scale that should be required for these plants. Therefore there is
7 a significant risk that the proposed mercury control system for the FGPP plant
8 will not meet their proposed emission levels for mercury.

9 **Q. Are there Less Solid Wastes Produced from IGCC Plants?**

10 A. Yes.

11 Exhibit RCF-25 shows the significantly less solid waste that is produced
12 by IGCC plants. Instead of large quantities of scrubber sludge to dispose from
13 the proposed FGPP plant an IGCC plant produces useful sulfur byproduct.
14 Leachable ash and scrubber sludge from the PC plants can cause ground water
15 contamination. Instead of a leachable fly ash to dispose of IGCC produces a
16 non-leachable slag that can be used in asphalt. The higher temperatures for
17 gasification than combustion has a benefit because coal ash has a softening
18 temperature of about 2250 F. Therefore, the coal ash goes through a molten
19 state when gasified then cools to become an inert, vitrified slag that can be sold
20 as a byproduct or disposed of as a non-leachable material.

21 **Q. Do IGCC Plants Use Less Water than the Proposed PC Plant?**

22 A. Yes.

23 Exhibit RCF-26 shows that IGCC plants use 30% to 40% less water than
24 a PC plant.

1 The 30 to 40 % less water usage for an IGCC plant is due mostly to the
2 fact that a combined cycle power plant is being used which requires less cooling
3 tower water. A combined cycle power plant consists of both a gas turbine and a
4 steam turbine for power generation. The gas turbine portion of the power
5 generation cycle does not require the large quantities of water for cooling that
6 are needed for the steam turbine cycle. Since a PC plant generates all of its
7 electricity from the steam turbine cycle it requires larger amounts of water.

8 Combined cycle plants are more energy efficient but require a clean fuel
9 such as natural gas, diesel, or synthesis gas. The older, less efficient technology
10 uses only a steam turbine, which must be used for PC plants due to the
11 contaminants in the combustion products.

12 **XIII. THE BENEFITS OF FUEL FLEXIBILITY FOR POWER PLANTS**

13 **Q: What are the Benefits of a Power Plant being Able to Use Different Fuels?**

14 **A:** The 1200 MW IGCC Plant to be built by the Nuon Utility in The Netherlands
15 is a good example of a multi-fuel power plant. This plant is shown in
16 Exhibit RCF-20. It will have the capability of using coal, petcoke, biomass
17 and natural gas. This plant will be able to respond to changing fuel prices
18 and availability of these alternative fuels. The coal, petcoke and biomass
19 can all be gasified to produce syngas for the combined-cycle power plants.
20 The biomass capability enables IGCC plants to use various renewable energy
21 sources that will reduce the emissions of CO₂. Biomass is available in
22 Florida as a byproduct of the sugarcane and pulp industries and then renewable
23 energy crops can be developed as a new industry in Florida. The disadvantage
24 of PC plants is that they are only capable of using coal. Therefore PC plants
25 can not respond to changing market conditions or changing emission standards.

1 **I. BACKGROUND AND WORK EXPERIENCE**

2 **Q: Please State Your Name and Address for the Record.**

3 A: My name is Richard C. Furman. My address is 10404 S.W. 128 Terrace,
4 Perrine, Florida 33176.

5 **Q: What Is Your Occupation?**

6 A: I am a retired consulting engineer, and I volunteer my time to advise utilities,
7 government agencies, environmental groups and the public about the potential
8 benefits of using coal gasification technologies. I have testified in previous
9 permit hearings for proposed coal plants concerning emission control
10 technologies, applicable emission regulations and alternative technologies
11 concerning Mercury, NO_x, SO₂, particulate and CO₂ emissions and their
12 associated costs.

13 **Q: How Long Have You Been Retired?**

14 A: Since February 2003.

15 **Q: What Was Your Occupation Before You Retired?**

16 A: During my entire engineering career, I have worked on new energy
17 technologies, alternative fuels for power plants, and pollution control for power
18 plants. Prior to my retirement, I was an independent consulting engineer for 22
19 years to various utility companies, government agencies, process developers and
20 research organizations on the development, technical feasibility and application
21 of new energy technologies and alternative fuels for power plants.

22 **Q: What Did You Do Before You Were An Independent Consulting Engineer?**

23 A: Prior to my work as a consulting engineer, I managed Florida Power & Light's
24 coal conversion program and fuels research and development program, which

1 included the first conversion of a 400 megawatt (400MW) power plant from oil
2 to a coal-oil mixture to reduce oil consumption after the second oil embargo.
3 Prior to this, I directed the engineering study for the conversion of New England
4 Electric's Brayton Point Power Plant, which was the first major conversion of a
5 power plant from oil to coal after the first oil embargo.

6 My first engineering job was working for Southern California Edison
7 Company to modify their power plants for two-stage combustion to reduce
8 nitrogen oxide emissions in 1969.

9 **Q: Please Summarize Your Formal Education.**

10 A: I received my B.S. in Chemical Engineering from Worcester Polytechnic
11 Institute in 1969 and a M.S. in Chemical Engineering from Massachusetts
12 Institute of Technology in 1972. I was a researcher at MIT for the book entitled
13 New Energy Technologies by Hottel and Howard. After researching for this
14 book, I decided to do my Master's thesis on coal gasification because of its
15 potential as a future energy source and its environmental benefits. My Master's
16 thesis at MIT was entitled Technical and Economic Evaluation of Coal
17 Gasification Processes. I was also a teaching assistant at MIT for the courses of
18 Principles of Combustion and Air Pollution and Seminar in Air Pollution
19 Control. My resume was attached to my original testimony as Exhibit RCF-1.

20 **Q: How Does Your Education and Experience Prepare You to Provide Expert**
21 **Testimony in this Case?**

22 A: Both my education and work have required an in-depth understanding of past,
23 present and new forms of energy technologies that can be used for power plants.
24 My education and work experiences also involved an in-depth understanding of
25 all the various fuels for power plants including the different types of coals, fuel

1 oils, natural gas, petroleum coke, synthesis gas, biomass, and refinery wastes.
2 My graduate education and subsequent work experiences have provided me
3 with a detailed understanding of the techniques and costs for controlling power
4 plant pollution including mercury, NO_x, SO₂, CO, particulate matter and CO₂
5 emissions. My prior work for 3 major electric utility companies allowed me to
6 make use of this knowledge to help develop and utilize new fuels and emission
7 control technologies for power plants. My current volunteer experience allows
8 me to keep informed about the latest developments in new energy technologies,
9 coal gasification technologies, fuels for power plants, techniques for controlling
10 power plant emissions, costs associated with the application of these
11 technologies for power plants and the development of new technologies that
12 may be applicable to power plants.

13 **Q: On whose behalf are you testifying?**

14 A: My testimony is sponsored by the Sierra Club, Inc., Florida Wildlife Federation
15 (FWF), Save Our Creeks (SOC), the Environmental Confederation of Southwest
16 Florida (ECOSWF) and Ellen Peterson.

17 **II. SUMMARY OF TESTIMONY**

18 **Q: What Is Your Expert Opinion About the Testimonies Submitted by FPL?**

19 A: I was not allowed sufficient time for the preparation of my testimony and to
20 review and prepare responses to the Petitioner's testimonies. I did not have
21 sufficient time to review the testimony of Mr. Hicks and others.

22 It is essential to be able to determine the **wide differences** that exist
23 between the Black & Veatch Report that was prepared for FPL, Clean Coal
24 Technology Selection Study, Final Report, dated January, 2007, submitted as
25 Document No. DNH-2 and the U.S. Department of Energy Study, Federal IGCC

1 R&D: Coal's Pathway to the Future, by Juli Klara, presented at GTC, Oct. 4,
2 2006 which I used for my Exhibits RCF-5 and RCF-7. Since the conclusions
3 reached by each of these studies are so dramatically different **it is necessary to**
4 **evaluate the various input assumptions** that were used for both of these
5 studies to determine what created the opposite conclusions. This evaluation
6 would be prudent before a final decision is made for this FGPP plant.

7 I have shown that coal gasification offers opportunities to significantly
8 reduce emissions and provide lower cost electricity for the future. I would like
9 you to consider all of these facts before you make a decision on the proposed
10 FGPP plant that will increase the cost of electricity, cause increased health
11 problems and damage the environment.

12 My supplemental testimony shows that Mr. Jenkins has selectively
13 picked information that does not accurately represent the current status of
14 gasification technology and commercial IGCC plants.

15 Mr. Jenkins has presented a very narrow view of gasification technology
16 and IGCC plants by specifying only four coal-based IGCC plants. In my
17 original testimony, Exhibits RCF-16 and RCF-17, I presented the widely
18 accepted data by the Department of Energy that the 2004 World Survey of
19 Gasification showed 117 operating gasification plants with 385 gasifiers and
20 that there are 14 commercially operating IGCC plants.

21 The commercial IGCC plants that have been operating for more than 10
22 years are about 300 MW each and consist of a single gasifier and a single gas
23 turbine. To provide larger size plants multiple units of this same 300 MW size
24 are already in commercial use. The Salux and ISAB Energy plants in Italy as
25 described in Exhibit RCF-17 are multiple unit IGCC plants of more than 500

1 MW and operating at greater than 90% availability. The use of multiple units
2 has already been demonstrated successfully. Therefore any size IGCC plant can
3 now be built as shown in my Exhibit RCF-20. This exhibit shows the 1200
4 MW IGCC plant that has been announced by Nuon, in The Netherlands. This
5 utility has been operating a 300 MW IGCC unit for more than 10 years with
6 coal and biomass. Nuon's new 1200 MW plant will have the flexibility to use
7 coal, biomass and natural gas and will consist of four 300 MW units. Therefore
8 scale-up of equipment is not required. Nuon will be using the same size of
9 equipment that they have been operating for more than 10 years. This
10 significantly reduces any risks. The Hunton Energy Group plans to build a 1200
11 MW IGCC plant in Texas that will use petroleum coke and consist of four
12 300MW units.

13 The standard industry practice is to use multiple gas turbine units to
14 achieve the large plant sizes required. As an example the new FPL West
15 County Energy Center in Palm Beach County will consist of 6 gas turbines, 6
16 HRSG and 2 steam turbines to provide 2400 MW of capacity. The proposed
17 capacity of 1960 MW for the FGPP plant can be matched approximately with
18 three 630 MW IGCC units for a total of 1890 MW which would consist of 6 gas
19 turbines. These multiple unit IGCC plants improve system reliability, increase
20 efficiencies and provide fuel diversity.

21 Tampa Electric Company's (TECO) IGCC unit has been operating for
22 more than 10 years. Its primary purpose was to demonstrate the technical and
23 economic feasibility of an IGCC unit at full commercial scale. TECO's IGCC
24 unit is now the lowest incremental cost unit and dispatched first. Mr. Jenkins

1 testimony does not completely or accurately represent this very successful
2 commercial demonstration of an IGCC plant.

3 The development of Super-Critical Pulverized Coal (SCPC) plants had a
4 more difficult track record and took longer to work out the “bugs.” My concern
5 is that FPL is proposing to use the **more advanced** technology of Ultra Super-
6 critical Pulverized Coal (USPC) and there are no other USPC plants operating
7 in the U.S. Supplemental Exhibit RCF-27 shows that there are only 4 USPC
8 plants to be built in the U.S. compared to 32 IGCC plants. The source of this
9 Exhibit is a DOE Report, Tracking New Coal-Fired Power Plants, dated Jan. 24,
10 2007, page 24, available at: <http://www.netl.doe.gov/coal/refshelf/ncp.pdf>

11 If the track record of these new USPC plants follows that of SCPC
12 plants then the additional costs for the proposed FGPP plant will be much
13 greater than the IGCC alternative. If the future costs of additional emission
14 controls or purchase of emissions credits are also factored into the FGPP plant,
15 then the result will be higher electric rates. These appear to be excessive and
16 unnecessary risks associated with the present design of the FGPP plant.

17 Mr. Jenkins would have one believe that by operating with syngas, there
18 is additional rotational stress that has negative impacts on gas turbine
19 reliability. This is not the case, and his testimony is misleading. The control
20 system protects the gas turbine from operating at a condition where the rotor
21 torque limit might be exceeded and impact on its reliability.

22 Mr. Jenkins is correct in saying that there were issues with rotor
23 reliability at Polk and Wabash IGCC plants, but what he didn't say was that
24 these issues also were faced by owners of the GE Frame 7F all over the world,
25 regardless of the fuel being used. Supplemental Exhibit RCF-28 shows the

1 power output vs. ambient temperature curves for the GE Frame 7FA and 7FB
2 models.

3 By inferring that these issues were related to the use of syngas, and not
4 mentioning that GE had a generic rotor design problem, he misrepresented the
5 data and detracted seriously from the credibility of his "expert"
6 testimony. Similarly, by not pointing out that most of the unavailability
7 experienced by the operating IGCC plants was due to problems with the power
8 block (i.e. conventional combined cycle equipment) and not to the gasification
9 block, Jenkins' was not being forthright in his testimony.

10 The operation of IGCC units with backup fuel is as reliable as Natural
11 Gas Combined Cycle (NGCC) units. Reliability for IGCC plants with backup
12 fuel is in the mid 90%. Supplemental Exhibit RCF-29 is a recent Gas Turbine
13 World article titled, Refinery IGCC Plants are Exceeding 90% Capacity Factor
14 after 3 Years, dated Jan.-Feb. 2006, by Harry Jaeger. This article shows that the
15 availabilities of three IGCC plants are 93%, 90% and 94% availability. These
16 availabilities are without a spare gasifier and without a backup fuel.

17 CO₂ capture is being done commercially at many coal gasification plants
18 around the world on coal-derived syngas. Examples of this in the U.S are the
19 Great Plains Synfuels Plant in North Dakota, the Coffeyville Fertilizer Plant in
20 Kansas and the Eastman Chemical Plant in Tennessee. In my original testimony
21 on pages 25-27, I presented information on the Great Plains Synfuels Plant.
22 Exhibit RCF-22 shows this plant. Carbon dioxide capture, transportation and
23 sequestration have been operating commercially since 2000 at the Great Plains
24 Synfuels Plant. In 2000, the Great Plains Synfuels Plant added a CO₂ recovery
25 process to capture the CO₂. It transports the CO₂ by pipeline 205 miles, as

1 shown in Exhibit RCF-23, to the Weyburn oil fields where it is used for
2 enhanced oil recovery (EOR).

3 This demonstrates that CO₂ capture is being done on a commercial basis
4 from coal gasification plants. CO₂ capture is not being done presently on any
5 IGCC plants because the process of generating power does not require it to be
6 removed and CO₂ regulations have not been promulgated yet. The other coal
7 gasification applications have demonstrated that CO₂ capture is commercially
8 available.

9 **III. SCHEDULE ERRORS FOR SUBMITTAL OF TESTIMONIES**

10 **Q. Were you allowed sufficient time for the preparation of your testimony and**
11 **to review and prepare responses to the Petitioner's testimonies? If no,**
12 **please explain.**

13 A: No. The Order Establishing Procedure set forth March 21, 2007, as the date for
14 filing rebuttal testimony and exhibits. I had arranged my schedule to
15 accommodate this limited response time for the large volume of testimony
16 submitted by the petitioner. However, due to a scrivener's error, the Order
17 incorrectly designated that **all** parties may file rebuttal testimony and exhibits,
18 rather than designating that only the Applicant has the ability to do so, which
19 was the intent. After my testimony was submitted on March 7th the corrective
20 order was established that would only allow until March 16 to submit
21 supplemental testimony or corrected testimony by the interveners. The limited
22 amount of time that I have been given to prepare responses to the Petitioner's
23 testimony did not allow me sufficient time to prepare responses to all of the
24 testimonies. Therefore this supplemental testimony is limited by the schedule
25 that was imposed.

1 **IV. COMMENTS ON THE TESTIMONY OF STEVE JENKINS**

2 **Q. Where you able to review the testimony of Steve Jenkins?**

3 A: Yes.

4 **Q. Do you think that it accurately represents the current status of IGCC**
5 **technology?**

6 A. No.

7 **Q: On Page 7, line 8 of Mr. Jenkins testimony the following Question was**
8 **asked: “Please describe some of the currently existing IGCC plants in the**
9 **United States and around the world.” And Mr. Jenkins replied: “There**
10 **are four coal-based IGCC plants in operation worldwide.” Does this**
11 **accurately represent the current commercial status of IGCC Plants? If no,**
12 **please explain.**

13 A: No. Mr. Jenkins has presented a very narrow view of gasification technology
14 and IGCC plants by specifying only four coal-based IGCC plants. In my
15 testimony, Exhibits RCF-16 and RCF-17, I presented the widely accepted data
16 by the Department of Energy that the 2004 World Survey of Gasification
17 showed 117 operating gasification plants with 385 gasifiers and that there are 14
18 commercially operating IGCC plants. The fact that gasifiers are using all
19 different types of coal, petroleum coke, heavy oils, asphalt, refinery residues,
20 biomass, and waste materials on a commercial scale should indicate the wide
21 flexibility of gasification to use all types of liquid and solid fuels. To narrow
22 his answer to only 4 coal-based IGCC plants is a misleading representation of
23 the current state of this technology.

24 **Q: On Page 8, line 3 of Mr. Jenkins testimony the following Question was**
25 **asked: “What is the largest size IGCC plant that is commercially**

1 **available?” and Mr. Jenkins replied “The largest size being commercially**
2 **available is called the 600 MW net “reference plant.”...It will first be very**
3 **important to prove the coal gasification technology at this larger scale.”**
4 **Does this accurately represent the current commercial status of IGCC**
5 **Plants? If no, please explain.**

6 A: No. The commercial IGCC plants that have been operating for more than 10
7 years are about 300 MW each and consist of a single gasifier and a single gas
8 turbine. To provide larger size plants multiple units of this same 300 MW size
9 are already in commercial use. The Salux and ISAB Energy plants in Italy as
10 described in Exhibit RCF-17 are multiple unit IGCC plants of more than 500
11 MW and operating at greater than 90% availability. The use of multiple units
12 has already been demonstrated successfully. Therefore any size IGCC plant can
13 now be built as shown in my Exhibit RCF-20. This exhibit shows the 1200
14 MW IGCC plant that has been announced by Nuon, in The Netherlands. This
15 utility has been operating a 300 MW IGCC unit for more than 10 years with
16 coal and biomass. Nuon’s new 1200 MW plant will have the flexibility to use
17 coal, biomass and natural gas and will consist of four 300 MW units. Therefore
18 scale-up of equipment is not required. Nuon will be using the same size of
19 equipment that they have been operating for more than 10 years. This
20 significantly reduces any risks. The Hunton Energy Group plans to build a 1200
21 MW IGCC plant in Texas that will use petroleum coke and consist of four
22 300MW units.

23 The standard industry practice is to use multiple gas turbine units to
24 achieve the large plant sizes required. As an example the new FPL West
25 County Energy Center in Palm Beach County will consist of 6 gas turbines, 6

1 HRSGs and 2 steam turbines to provide 2400 MW of capacity. The proposed
2 capacity of 1960 MW for the FGPP plant can be matched approximately with
3 three 630 MW IGCC units for a total of 1890 MW which would consist of 6 gas
4 turbines, 6 HRSGs and 3 steam turbines. These multiple unit IGCC plants
5 improve system reliability, increase efficiencies and provide fuel diversity.

6 **Q: On Page 8, line 17 of Mr. Jenkins testimony the following Question was**
7 **asked: “Have the current IGCC facilities been funded by their**
8 **governments?” and Mr. Jenkins replied “Yes. All four of the operating**
9 **plants received significant amounts of co-funding from their respective**
10 **federal governments...In the case of the Polk Power Station, the DOE**
11 **funded 20-25% of the capital cost”. Is this a complete and accurate**
12 **representation of the commercial viability of IGCC plants? If no, please**
13 **explain.**

14 **A:** No. Polk Power Station’s IGCC unit has been operating for more than 10 years.
15 Its primary purpose was to demonstrate the technical and economic feasibility
16 of an IGCC unit at full commercial scale. Another objective of this
17 demonstration project was to improve the technology by testing new process
18 steps that increase efficiencies and reduce emissions. Therefore much of the
19 government funding was specifically used to demonstrate these improvements.
20 An example of the type of improvement that was tested at the Polk Plant was
21 hot gas clean-up which is no longer in service. The Polk IGCC unit is now the
22 lowest incremental cost unit and dispatched first. Mr. Jenkins testimony does
23 not completely or accurately represent this very successful commercial
24 demonstration of an IGCC plant.

1 **Q: On Page 9, line 1 of Mr. Jenkins testimony the following Question was**
2 **asked: “What has been the track record of these facilities?” and Mr.**
3 **Jenkins response was: “The initial start-up at all of these plants was very**
4 **difficult and the overall plant availability for each of these plants was low**
5 **for the first several years. Since then, many operational problems have**
6 **been solved, some equipment has been removed or modified, and many of**
7 **the “bugs” have been worked out.” Does this accurately represent the**
8 **track record of IGCC Plants? Please explain this in relation to the**
9 **development of other new power plant technologies.**

10 **A: Yes. This statement is true. But it is also true that this track record is typical**
11 **of new power plant technologies. The development of Super-Critical**
12 **Pulverized Coal (SCPC) plants had a more difficult track record and took longer**
13 **to work out the “bugs”. My concern is that FPL is proposing to use the more**
14 **advanced technology of Ultra Super-critical Pulverized Coal (USPC) and there**
15 **are no other USPC plants operating in the U.S. Supplemental Exhibit RCF-27**
16 **shows that there are only 4 USPC plants to be built in the U.S. compared to 32**
17 **IGCC plants. The source of this Exhibit is a DOE Report, Tracking New Coal-**
18 **Fired Power Plants, dated Jan. 24, 2007, page 24, available at**
19 **<http://www.netl.doe.gov/coal/refshelf/ncp.pdf> .**

20 If the track record of these new USPC plants follows that of SCPC
21 plants then the additional costs for the proposed FGPP plant will be much
22 greater than the IGCC alternative. If the future costs of additional emission
23 controls or purchase of emissions credits are also factored into the FGPP plant,
24 then the result will be higher electric rates. These appear to be excessive and
25 unnecessary risks associated with the present design of the FGPP plant.

1 **Q: On Page 10, line 5 of Mr. Jenkins testimony the following Question was**
2 **asked: “Why do IGCC plants have problems with reliability?” and Mr.**
3 **Jenkins replied: “The four IGCC plants all have single-train gasification**
4 **islands. Whenever a single train is removed from service due to operational**
5 **problems, there is no syngas available for combustion in the gas turbines.**
6 **At that point, unless a backup fuel is used, the power plant must be shut**
7 **down.” Is this an accurate and complete Statement? If no, please explain.**

8 **A:** No. This statement is true but not complete. If the two conditions occur at the
9 same time, which are no syngas and no backup fuel, then the unit can not
10 operate. However the probability of these two events occurring simultaneously
11 is very small. That is why IGCC plants that have a backup fuel can have 95%
12 availabilities. This is better than the proposed 92% availability that FPL is
13 estimating for their USPC Plant. The 980 MW USPC units consist of a single
14 boiler and a single steam turbine operating at conditions that have not been used
15 before in the U.S. Therefore, a single failure in the boiler or the steam turbine
16 can cause 980MW not to operate. This is not the case with IGCC units because
17 they consist of multiple units. A single failure should only cause the loss of a
18 300MW unit. If that single failure occurs in the gasification part of the plant
19 then the backup fuel can be used and there will be no significant loss of
20 capacity. This is not the case with the proposed USPC plant. A coal supply
21 interruption, such as a coal strike, can cause the loss of all 1960 MW because no
22 backup fuel is available. The costs of using backup fuels for IGCC units will
23 increase the cost of electricity and therefore needs to be considered. But the
24 cost savings of higher availabilities more than offset these additional fuel costs.

1 **Q:** **In response to the same question above Mr. Jenkins also stated on page 10,**
2 **lines 15 - 20: “A reliability issue that is somewhat unique to syngas use**
3 **relates to high rotor torque. Gas turbines are designed to handle the**
4 **combustion of natural gas. Since syngas has a much lower heating value, a**
5 **much greater amount of syngas is required to fully load the gas turbine.**
6 *This additional rotational stress has had negative impacts on syngas-fired gas*
7 *turbine reliability.” Is this a true fact? If no, please explain.*

8 **A:** No. Since diluted syngas (i.e. syngas diluted with N₂ for NO_x control) has a
9 heating value of only about 1/8 of natural gas, there is a lot more fuel mass
10 required to reach full operating conditions than with natural gas. This affects
11 the amount of power that the same piece of equipment will generate
12 (proportional to mass flow and other conditions, such as pressure and
13 temperature, at the turbine section inlet). Therefore, at a given ambient
14 temperature, the syngas-fired gas turbine will produce more power than the
15 same machine fired with natural gas.

16 Supplemental Exhibit RCF-28 shows the power output vs. ambient
17 temperature curves for the GE Frame 7FA and 7FB models. Both the Polk and
18 Wabash IGCC units use the earlier Frame 7F gas turbines. The "FA" and the
19 "FB" models are updated versions of these gas turbines. As you can see, the
20 normal performance characteristic of a gas turbine is that the power output
21 increases with lowering ambient temperature. That is the basic physics of any
22 air breathing engine since there is more mass taken in with a given volume at
23 lower temperatures. There are two curves - one for natural gas, and one for
24 diluted syngas.

1 Superimposed on the performance curves are the 'rotor torque limit
2 curves'. These define the power limit that is imposed on the gas turbine for safe
3 and reliable operation - **regardless of the fuel used**. You can see that the
4 torque limit for the 7FB is slightly higher than that of the 7FA, allowing more
5 power to be generated with the upgraded design.

6 Since the performance curve (power vs. temp) for the diluted syngas is
7 generally higher than that for natural gas, it crosses the torque limit curve at a
8 higher ambient temperature. That says that the power output is limited to that
9 maximum value (i.e. where it crosses the torque limit curve) at around 85-
10 90F. It is essentially the same limit that is reached in the natural-gas-fired case
11 down around 20F. **This limit placed on the power output of the gas turbine**
12 **means that it does not run at higher than its maximum design level of**
13 **power output when burning syngas, as inferred by Mr. Jenkins**. It just
14 means that it reaches its limit at a higher ambient temperature, so that the actual
15 additional IGCC output (dark blue area) is less than it might be if no such rotor
16 torque limit existed. **Mr. Jenkins would have one believe that by operating**
17 **with syngas, there is additional rotational stress that has negative impacts**
18 **on gas turbine reliability. This is not the case, and his testimony is**
19 **misleading**.

20 At lower ambient temperatures, when the gas turbine might operate
21 above the rotor torque limit, the control system adjusts the operating point of
22 the gas turbine to limit its output. In other words, it is operating at part load
23 (rather than at full load) at ambient temperatures below which the power output
24 curve intersects the rotor torque limit curve. This prevents any overloading of

1 the gas turbine that might otherwise occur - and it is the exact same control
2 whether operating on syngas or natural gas fuel.

3 The control system, thereby, protects the gas turbine from operating at a
4 condition where the rotor torque limit might be exceeded and impact on its
5 reliability. **Mr. Jenkins is correct in saying that there were issues with**
6 **rotor reliability at Polk and Wabash IGCC plants, but what he didn't say**
7 **was that these issues also were faced by owners of the GE Frame 7F all**
8 **over the world, regardless of the fuel being used.**

9 **By inferring that these issues were related to the use of syngas, and**
10 **not mentioning that GE had a generic rotor design problem, he**
11 **misrepresented the data and detracted seriously from the credibility of his**
12 **"expert" testimony. Similarly, by not pointing out that most of the**
13 **unavailability experienced by the operating IGCC plants was due to**
14 **problems with the power block (i.e. conventional combined cycle**
15 **equipment) and not to the gasification block, Jenkins' was not**
16 **being forthright in his testimony.**

17 In a recent presentation at the European Gasification Conference in
18 Barcelona, an executive of the utility that operates the Puertollano IGCC plant
19 in Spain showed the breakdown of causes of their availability issues. A large
20 majority of these issues had to do with the gas turbine (in this case a Siemens
21 advanced-design model) and not the gasification island. The source for this
22 information is: Puertollano IGCC Plant. Present Position and Future
23 Competitiveness, by Casero and Garcia-Pena of Elcogas S.A., presented at the
24 7th European Gasification Conference, Barcelona, Spain, April 25-27,
25 2006, pages 4&5.

1 Mr. Jenkins referred again to the poor availability performance of the
2 Puertollano facility, (Mr. Jenkins testimony, page 10, line3) without mentioning
3 that most of the problems were gas turbine related, and that the same problems
4 were experienced by other owners of the same design gas turbine operating on
5 natural gas, and consequently, Mr. Jenkins seriously reduced the credibility of
6 his testimony.

7 **Q: In response to the same question above Mr. Jenkins also stated on page 11,**
8 **lines 3 - 6: “Some of the successful gasifiers also use refinery bottoms, like**
9 **asphalt, as a feedstock. Such liquid feedstocks require little handling and**
10 **preparation, versus the coal handling and coal grinding systems required**
11 **in a coal-based IGCC plant.” Do you agree with this statement? If no,**
12 **please explain.**

13 **A:** No. Mr. Jenkins should have also pointed out that coal-slurry-fed gasifiers
14 (such as GE and ConocoPhillips) operate on a feedstock that is very much like a
15 liquid feedstock in that powdered coal is first mixed with water to form a
16 pumpable, liquid-like slurry. The GE and ConocoPhillips gasifiers, whether
17 using coal-slurry or liquid fuels are proven to be highly reliable in numerous
18 commercial installations around the world.

19 **Q: On Page 15, line 3 of Mr. Jenkins testimony the following Question was**
20 **asked: “What are some of your concerns with the use of IGCC technology**
21 **at the site?” and Mr. Jenkins responded: “First, I would be concerned with**
22 **the potential for reliability problems. FGPP is being designed for 92%**
23 **reliability, which is commercially available and proven with SCPC**
24 **technology. As noted previously, such high reliability levels have not yet**
25 **been demonstrated by existing IGCC power plants, and it will be six to**

1 **eight years before the presently planned IGCC plants are able to prove**
2 **whether the intended design enhancements can provide for improved**
3 **reliability.” Do you agree with these statements? If no, please explain.**

4 A: No. As previously discussed in this supplemental testimony the operation of
5 IGCC units with backup fuel are as reliable as Natural Gas Combined Cycle
6 (NGCC) units. Reliability for IGCC plants with backup fuel is in the mid
7 90%. Supplemental Exhibit RCF-29 is a recent Gas Turbine World article
8 titled, Refinery IGCC Plants are Exceeding 90% Capacity Factor after 3 Years,
9 dated Jan.-Feb. 2006, by Harry Jaeger. This article shows that the availabilities
10 of these three IGCC plants are 93%, 90% and 94% availability. These
11 availabilities are without a spare gasifier and without a backup fuel. These
12 IGCC plants were built using non-recourse project financing provided by over
13 60 banks, U.S. IPP developers and other lending institutions. They show that
14 IGCC can be a commercially bankable technology.

15 Q: **On page 13, line 12 Mr. Jenkins was asked “When do you think IGCC will**
16 **be commercially available? and on page 13, line 21 thru page 14, line 8 Mr.**
17 **Jenkins replied: “If IGCC technology were to be selected for this project,**
18 **FPL would likely use the largest size plant available, in order to take**
19 **advantage of economies of scale, just as it has already done in choosing**
20 **large 980 MW (net) USCPC units. For IGCC, the closest match to meet the**
21 **1,960 MW (net) value would be to use a 3x3~1 configuration such as the**
22 **one referenced in the study jointly conducted by FPL and Black & Veatch.**
23 **This study is noted as Document No. DNH-2 in the testimony provided by**
24 **Mr. Hicks of FPL. However, as I noted previously, the largest size IGCC**
25 **facility that is being offered by the IGCC technology suppliers is the 600**

1 MW (net) reference plant. *Therefore, a non-standard 3x3-1 configuration, if*
2 *commercially available, would take even longer to be designed and*
3 *constructed.” Is this last statement by Mr. Jenkins correct? If no, please*
4 *explain.*

5 A: No. This last statement is not true. Three of the “reference design” units of
6 630 MW each could provide 1890 MW using the standard configuration of 2
7 gas turbines and one steam turbine for each 630 MW unit. This would not
8 require the non-standard configuration that Mr. Jenkins indicated that would
9 take longer to design and construct.

10 Q: **On page 17, line 6 Mr. Jenkins states: “Two of the IGCC plants being**
11 **planned at this time for operation in the 2011 to 2012 timeframe have noted**
12 **in their air permit applications the potential for over 60 startup and**
13 **shutdown events per year, far more than what is normal for PC units.” Is**
14 **this typical of IGCC plants? If no, please explain.**

15 A: No. This is the worst case scenario that is required for permitting application
16 and does not represent normal operating experience.

17 Q: **On page 22, line 3 Mr. Jenkins states: “When a PC power plant starts up,**
18 **the boiler is fired with coal at a very low throughput, and then it gradually**
19 **ramps up to a higher throughput.” Is this statement true? If no, please**
20 **explain.**

21 A: No. PC plants start up on oil, not coal, and fire coal after they are on line.

22 Q: **On page 22, line10 Mr. Jenkins states: “During the time a plant is starting**
23 **up, coal is being consumed without any power generation, until steam**
24 **conditions are right for sending it to the steam turbine.” Is this statement**
25 **true? If no, please explain.**

1 A: No. Coal is not used to warm-up a PC boiler or a gasifier.

2 **Q: On page 22, line 21 Mr. Jenkins states: "IGCC units have a different start-**
3 **up profile. As noted previously, a cold start-up on an IGCC power plant**
4 **can take several days. During this time, large amounts of coal can be**
5 **consumed in the gasification process while the emission control systems are**
6 **being started up. Clean or partially cleaned syngas is flared. Emissions**
7 **from the flare can be substantial, depending on the state of operation of the**
8 **emission control systems and the total time of flaring. Combining these**
9 **technical issues with a somewhat lower reliability of IGCC versus PC**
10 **technology, an IGCC plant could actually produce more emissions on an**
11 **annual basis than a PC unit, even though it may have a lower emission rate**
12 **on a lbNWh or pounds per million BTUs of heat input basis." Are these**
13 **statements true? If not, please explain.**

14 A: No. Gasifiers are preheated with natural gas or propane. Gasifiers are not
15 preheated with coal. The flaring only occurs immediately after the gasifier light
16 off for a short duration. It is true that these emissions are higher than normal
17 operation, but they occur for short durations (minutes), not the days stated by
18 Mr. Jenkins.

19 **Q: On page 23, line 8 Mr. Jenkins was asked the Question: "Based on the**
20 **technology today, do you believe that the emissions would be better for an**
21 **IGCC facility versus the proposed FPL power plant?" and Mr. Jenkins**
22 **reply consisted of the statement: "We saw that the emission rates for the**
23 **IGCC units could actually be increased by an average of 38%, if all of the**
24 ***potential startup and shutdown emissions are accounted for.*" Does this**

1 **accurately represent the operation of current IGCC plants? If no, please**
2 **explain.**

3 A: No. This analysis is based upon the sum of all of the worst case assumptions
4 that could have been conceived. This does not accurately represent the
5 operation of current IGCC plants including their normal startup and shutdown
6 procedures. The last two sentences of Mr. Jenkins answer to this question are
7 true when he stated: “The air permit applications were written in a way so as not
8 to constrain the units’ operation, **so that the number of start-up and**
9 **shutdown cycles was maximized. For an actual comparison, each unit’s**
10 **characteristics would have to be analyzed to determine the overall impact**
11 **of start-ups and shutdowns.”**

12 Q: **On page 24, line 16 Mr. Jenkins was asked: “What changes are needed to**
13 **make an IGCC plant CO₂ capture ready?” and part of Mr. Jenkins**
14 **response was: “The IGCC plant design must account for the addition of**
15 **this water shift reactor and to have a proper place to route this low**
16 **pressure steam.” Is this statement true and is it a significant modification?**

17 A: This statement is true but it is not a significant modification. This additional
18 steam will be used for other processing applications in the IGCC plant.

19 Q: **In response to the same question Mr. Jenkins also stated: “Then there**
20 **must be room for the addition of a very large CO₂ capture/removal system.**
21 **While the acid gas removal systems typically used for H₂S removal can also**
22 **be used to absorb some of the CO₂, they are much more selective for the**
23 **H₂S. This means that it is much more difficult to remove the CO₂ than the**
24 **H₂S from the syngas. The H₂S removal system is much too small to also**
25 **remove a large portion of the CO₂. It must be able to be scaled up**

1 **considerably, with much additional equipment required. The CO₂ removal**
2 **system requires a significant amount of high pressure steam to strip**
3 **(remove) the CO₂ from the solvent, so that it can be concentrated.**

4 **Therefore, the steam turbine must be designed from day one with steam**
5 **extractions at the right temperatures and pressures for CO₂ stripping.” Is**
6 **this the preferred method to add CO₂ capture to an existing IGCC plant?**

7 **If no, please explain.**

8 A: No. The preferred method would be to add a “sweet shift” downstream of the
9 original Acid Gas Removal (AGR) process and then to add a second absorber
10 for the CO₂ removal. This method would make use of the existing equipment
11 and require much less new equipment. This would significantly reduce the
12 capital costs for CO₂ capture. The operating costs can also be reduced because
13 low pressure steam is used for stripping not the high pressure steam that Mr.
14 Jenkins stated for stripping.

15 **Q: In response to the same question Mr. Jenkins also stated: “Once the CO₂**
16 **is removed from the syngas, a hydrogen-rich syngas stream remains. While**
17 **gas turbines have the ability to burn syngas and other fuels that contain**
18 **some hydrogen, gas turbines for the combustion of concentrated hydrogen**
19 **streams are *not yet commercially available at large scale.*” Is this statement**
20 **true? If no, please explain.**

21 A: No. Industrial gas turbines have been integrated into refineries,
22 petrochemical plants and chemical manufacturing plants that operate on high
23 hydrogen content fuels routinely.

24 **Q: On page 26, line 11 Mr. Jenkins was asked: “Have CO₂ capture**
25 **technologies been applied to IGCC?” and Mr. Jenkins responded: “Yes,**

1 **but only on a test basis.” On page 26, line 13 Mr. Jenkins was asked: “Are**
2 **EPRI and the DOE funding R&D on CO₂ capture technologies?” and Mr.**
3 **Jenkins responded: “Yes. A significant amount of design development is**
4 **underway, in order to qualify and quantify the modifications described**
5 **previously. CO₂ capture for IGCC is not yet a commercially available**
6 **technology.” Are these accurate statements of the current commercial**
7 **status of CO₂ capture from gasification plants? If no, please explain.**

8 A: No. CO₂ capture is being done commercially at many coal gasification plants
9 around the world on coal-derived syngas. Examples of this in the U.S are the
10 Great Plains Synfuels Plant in North Dakota, the Coffeyville Fertilizer Plant in
11 Kansas and the Eastman Chemical Plant in Tennessee. In my original testimony
12 on pages 25-27, I presented information on the Great Plains Synfuels Plant.
13 Exhibit RCF-22 shows this plant. Carbon dioxide capture, transportation and
14 sequestration have been operating commercially since 2000 at the Great Plains
15 Synfuels Plant. In 2000, the Great Plains Synfuels Plant added a CO₂ recovery
16 process to capture the CO₂. It transports the CO₂ by pipeline 205 miles, as
17 shown in Exhibit RCF-23, to the Weyburn oil fields where it is used for
18 enhanced oil recovery (EOR). This demonstrates that CO₂ capture is being
19 done on a commercial basis from coal gasification plants. CO₂ capture is not
20 being done presently on any IGCC plants because the process of generating
21 power does not require it to be removed and CO₂ regulations have not been
22 promulgated yet. The other coal gasification applications have demonstrated
23 that CO₂ capture is commercially available.

24 Q: **On page 28, line 1 Mr. Jenkins was asked: “Can you say that IGCC is ‘CO₂**
25 **capture ready’ today?” and Mr. Jenkins response was: “It is not. Once the**

1 ***R&D is completed over the next decade, as described previously, IGCC is***
2 ***expected to be CO₂ capture ready.” Is this an accurate statement? If no,***
3 ***please explain.***

4 A: No. The answer to my previous question clearly shows that CO₂ capture is
5 being done on a commercial basis for syngas produced from coal gasification
6 plants. The only difference is the final use of the syngas. It can be used for
7 power generation in a combined- cycle IGCC plant, as a fuel to produce
8 synthetic natural gas (SNG), and as a raw material to produce chemicals and
9 fertilizers. The engineering companies and equipment suppliers are ready to
10 provide CO₂ capture for commercial IGCC plants. They do not need a decade
11 of R&D to build what is already commercially operating.

12 **V. COMMENTS ON THE TESTIMONY OF DAVID HICKS**

13 **Q: Where you able to review the testimony of David Hicks?**

14 A: No. I did not have sufficient time to review the testimony of Mr. Hicks. It is
15 essential to be able to determine the **wide differences** that exist between the
16 Black & Veatch Report that was prepared for FPL, Clean Coal Technology
17 Selection Study, Final Report, dated January, 2007, submitted as Document No.
18 DNH-2 and the U.S. Department of Energy Study, Federal IGCC R&D: Coal’s
19 Pathway to the Future, by Juli Klara, presented at GTC, Oct. 4, 2006 which I
20 used for my Exhibits RCF-5 and RCF-7. Since the conclusions reached by each
21 of these studies are so dramatically different it is necessary to evaluate the
22 various input assumptions that were used for both of these studies to determine
23 what created the opposite conclusions. This evaluation would be prudent before
24 a final decision is made for this FGPP plant.

25 **Q: Does this conclude your Supplemental Testimony?**

1 A: Yes. I have prepared as much Supplemental Testimony as the schedule would
2 allow me to prepare. More time is needed to do a more complete evaluation.

1 BY MR. GUEST:

2 Q. Do you have a summary of your prefiled
3 testimony to share with us?

4 A. Yes, I do.

5 Q. Would you provide that summary, please.

6 A. Yes. The objective of my testimony is to
7 present the most recent and unbiased information on
8 pulverized coal and IGCC technology. The most common
9 and unbiased source of this type of information is the
10 Department of Energy's National Energy Technology
11 Laboratory, Office of System Analysis and Planning.
12 Much of the information included in my testimony is from
13 the Department of Energy.

14 I would like to suggest that due to the
15 importance of this discussion, additional time be
16 granted to enable the PSC staff, the DOE staff, FPL, and
17 me to conduct a team analysis. DOE's engineers and
18 analysts are available to work with the Public Service
19 Commission staff and utilities to evaluate site-specific
20 alternatives. I've spoken with this DOE office, and
21 they have agreed to work with Florida's PSC staff to
22 provide the information and analyses that you need.

23 These are the types of analysis that I
24 conducted when I worked for Florida Power & Light. I
25 would like to volunteer my time to work with FPL's staff

1 and the PSC staff to conduct these analyses. The time
2 that I was given did not allow me the opportunity to
3 complete this type of analysis by the April 5th
4 interrogatories deadline. The analysis that I have been
5 able to present in my testimony indicates that an IGCC
6 plant should be able to provide new base load capacity
7 for FPL at a lower cost and with significantly lower
8 emissions.

9 The costs and uncertainty about capturing CO₂
10 is also significantly less for the IGCC plant. Exhibit
11 7 in my testimony is from a recent DOE presentation that
12 shows slightly higher electric costs today for this IGCC
13 plant, but significantly lower future electric costs for
14 IGCC plants than pulverized coal plants. It is
15 important to note that this study was for a Midwest
16 location, and petcoke was not included as a potential
17 fuel for this IGCC plant. This DOE study shows a 30
18 percent increase in the cost of electricity for IGCC
19 with CO₂ capture versus a 68 percent increase in the
20 cost of electricity for PC with CO₂ capture.

21 Next slide. This confirms -- these numbers
22 confirm the General Electric results, which show a 25
23 percent increase in the cost of electricity for IGCC
24 with CO₂ capture versus a 66 percent increase in the
25 cost of electricity for PC with CO₂ capture.

1 Next slide. I produced Exhibit 5 by taking
2 the results of this DOE evaluation of pulverized coal
3 versus IGCC for a Midwest plant location and replacing
4 the delivered fuel cost with a delivered fuel cost for
5 Florida's electric utilities. Exhibit 5 shows the costs
6 of electricity for pulverized coal plants are higher
7 than the costs of electricity for an IGCC plant using
8 petroleum coke in Florida. Although the IGCC has a
9 higher capital cost than the PC plant, it has a
10 significantly lower fuel cost when using petroleum coke.
11 Since the economics of IGCC are favorable at this
12 initial level of evaluation, then the next step should
13 be a more detailed, site-specific evaluation, including
14 the requirements of the Glades site, but also other
15 potential sites that might be more feasible.

16 Whenever possible in my testimony, I have
17 presented two independent sources of unbiased and recent
18 information. For comparing emission levels from the new
19 PC and new IGCC plants, I prepared Exhibit 8, which
20 shows the percentage of emissions that a new IGCC plant
21 produces relative to the amount of emissions from a new
22 ultra-supercritical pulverized coal plant. The data
23 used for the preparation of this chart is from the July
24 2006 EPA final report called "Environmental Footprints
25 and Costs of Coal-based Integrated Gasification Combined

1 Cycle and Pulverized Coal Technologies." For both new
2 PC and new IGCC plants, I used the best available
3 control technology as reported in this EPA report.

4 Next slide. For another independent
5 comparison of emissions, I took the recent IGCC permit
6 levels and proposed permit levels in applications for
7 permits for new IGCC plants and compared these emission
8 levels with the proposed permit levels for the Glades
9 plant. This comparison is shown in Exhibit 11.

10 Based on both of these independent methods of
11 comparison, the EPA report of best available control
12 technology and the actual comparison of permit levels,
13 the IGCC plant provided significantly lower emissions.

14 The other aspects that I would like to try to
15 address by working together as a team is how we might be
16 able to integrate this new plan alternative with other
17 alternatives that have been talked about here today,
18 like conservation and renewable energy. By working
19 together as a team, I think we can dramatically reduce
20 the size of the new plant required and the resources and
21 environmental damages that can be created.

22 Thank you.

23 CHAIRMAN EDGAR: Mr. Beck, any questions?

24 Mr. Krasowski.

25 MR. KRASOWSKI: Yes, ma'am.

CROSS-EXAMINATION

1
2 BY MR. KRASOWSKI:

3 Q. So, Mr. Furman, you're here to promote IGCC?

4 A. No, no. IGCC is really a third option, in my
5 mind. I think we need to do dramatically more with
6 energy conservation.

7 Q. Do you have that in your testimony here, about
8 energy conservation?

9 A. No, I do not. I did work for a period of my
10 engineering career as an energy conservation engineer,
11 so I do realize how poorly we're doing in Florida as far
12 as energy conservation and how much more we can do.

13 And I think -- just common sense, I think we
14 all know how much we waste energy. I've been trying to
15 reduce energy on a personal level and have an electric
16 bill that's half of what any of my neighbors' are. So I
17 think we can go a long way, and I think we have to take
18 it on as a personal responsibility and as a public
19 responsibility. So I applaud the efforts --

20 CHAIRMAN EDGAR: Okay. Mr. Furman, I would
21 like you to limit your answers to the specific question
22 that has been asked, please. Thank you.

23 BY MR. KRASOWSKI:

24 Q. My next question is, if you're so concerned
25 with energy conservation, why didn't you have it in your

1 testimony as opposed to your elaborations on the
2 benefits of IGCC?

3 **A.** A great deal more of my engineering experience
4 has been on power plants and gasification technologies.

5 **Q.** Are you familiar with the Joyce Foundation?

6 **A.** No, I'm not.

7 **Q.** Are you here on behalf of the NRDC?

8 **A.** Yes.

9 **Q.** Are you aware the NRDC are advocates for
10 gasification, IGCC?

11 **A.** I'm not aware whether they're advocates or
12 not.

13 **Q.** And I'm assuming -- I don't want to assume, so
14 let me ask the question. So you're not aware that
15 they're funded by the Joyce Foundation to promote IGCC?

16 **A.** I believe FPL in my deposition asked me that
17 same question, so my only source of information on that
18 is from the question in my deposition. They had
19 indicated that they had donated -- the Joyce Foundation
20 had donated some money to NRDC. That's my only
21 knowledge.

22 MR. KRASOWSKI: Well, I have no further
23 questions, being that this isn't my specific area of
24 interest. I'm more into the alternatives in
25 conservation. Thank you, Mr. Furman. Thank you, ma'am.

1 CHAIRMAN EDGAR: Thank you. Ms. Perdue, any
2 questions?

3 MS. PERDUE: Just a few, Madam Chair. Thank
4 you.

5 CROSS-EXAMINATION

6 BY MS. PERDUE:

7 Q. Mr. Furman, in your direct testimony that has
8 been filed, you are assuming that -- and correct me if
9 I'm wrong, but the proposed capacity of the FGPP plant
10 is 1,916 megawatts; is that true?

11 A. Yes.

12 Q. And has there -- you've got these
13 recommendations in your testimony that perhaps there
14 should be an IGCC plant. Does an IGCC power plant exist
15 at that capacity? Has one ever been built?

16 A. No.

17 MS. PERDUE: Thank you. That's all.

18 CHAIRMAN EDGAR: Mr. Anderson.

19 MR. ANDERSON: May I put up some exhibits very
20 briefly?

21 CHAIRMAN EDGAR: You may.

22 MR. ANDERSON: May I proceed, please? Is he
23 all set? May I proceed?

24 CHAIRMAN EDGAR: Yes, sir.

25 MR. ANDERSON: Thank you very much.

CROSS-EXAMINATION

1
2 BY MR. ANDERSON:

3 Q. Good afternoon, Mr. Furman.

4 A. Good afternoon.

5 Q. My name is Bryan Anderson. I'm an attorney
6 for Florida Power & Light Company. I'll be asking you
7 some questions today about your testimony.

8 Your testimony disagrees with FPL's selection
9 of ultra-supercritical pulverized coal technology for
10 its proposed FPL Glades Power Park Units 1 and 2; is
11 that right?

12 A. Yes.

13 Q. You have never been responsible for
14 development of a new electric generating plant; right?

15 A. Conversion of plants, yes.

16 Q. Never responsible for the development of a new
17 electric generating plant. The answer is yes; right?

18 A. That's correct.

19 Q. You've not been responsible for obtaining
20 environmental permits for any electric generating plant
21 of any type; isn't that right?

22 A. That's correct.

23 Q. You have never signed and sealed as a
24 professional engineer any application for environmental
25 permits for any electric generating plant in Florida,

1 the United States, or any other country; right?

2 **A.** Yes.

3 **Q.** You have no experience in negotiating
4 contracts for major equipment or construction for an
5 IGCC plant?

6 **A.** No.

7 **Q.** Or a USCPC plant?

8 **A.** That's correct.

9 **Q.** Or any coal plant, or any power plant at all;
10 right?

11 **A.** That's correct.

12 **Q.** You have never managed the design of an IGCC
13 plant?

14 **A.** No.

15 **Q.** Or a USCPC plant?

16 **A.** No.

17 **Q.** Or any coal plant?

18 **A.** If I could explain, one of my jobs when I
19 worked for Florida Power & Light was, I managed Florida
20 Power & Light's coal conversion program. This was after
21 the second oil embargo of '78 when I worked for Florida
22 Power & Light.

23 And that was one of the reasons I was
24 specifically hired, because I had just completed the
25 engineering study for the conversion of the largest

1 power plant in New England, which was the Brayton Point
2 Power Plant. That was after the first oil embargo of
3 '73, when we got a team approach like I'm suggesting
4 here. We got a team approach there consisting of the
5 regulatory commissioners, the EPA, the business
6 community, and the utility, and we figured out a way of
7 how we could satisfy the needs of all of the group and
8 come to a consensus on how we would convert that power
9 plant from oil to coal. And that has been successfully
10 converted, so I think I do have some experience.

11 And then I was hired by Florida Power & Light
12 after the second oil embargo. Florida Power & Light was
13 the largest oil-burning utility in the country at that
14 time. We were being faced by mandatory conversion
15 orders, because the plants were originally designed for
16 coal, and FPL would have had to spend a lot of money to
17 convert those plants from oil to coal. And we were
18 concerned that we would get a mandatory conversion
19 order, so what we did was, we tried a new technology
20 called coal-oil mixtures. And we actually had the first
21 conversion of a 400-megawatt power plant from oil to a
22 coal-oil mixture, which was a successful conversion.
23 And the Brayton Point Power Plant was really the first
24 major conversion of a power plant from oil to coal in
25 the United States.

1 My first engineering job was working for
2 Southern California Edison Company, and my job there was
3 more in the pollution control area, because --

4 MR. ANDERSON: Chairman Edgar, at this point,
5 I think this is a bit beyond the question.

6 CHAIRMAN EDGAR: Actually, I tend to agree.
7 And I do recognize that biographical resumé experience
8 information, et cetera, is in the testimony and
9 exhibits.

10 MR. ANDERSON: Thank you.

11 BY MR. ANDERSON:

12 Q. You've never managed the construction of an
13 IGCC plant?

14 A. No.

15 Q. Or a USCPC plant?

16 A. No.

17 Q. Or any coal plant?

18 A. No.

19 Q. You've not managed the operations of an IGCC
20 plant?

21 A. No.

22 Q. Or a USCPC plant?

23 A. That's correct.

24 Q. Your testimony describes and relies on 26
25 exhibits; is that right?

1 **A.** Twenty-six in the direct testimony; right.

2 CHAIRMAN EDGAR: Shall we mark? I'm on 191.

3 MR. ANDERSON: Yes, please. Thank you.

4 (Exhibit 191 marked for identification.)

5 BY MR. ANDERSON:

6 **Q.** You have before you what has been identified
7 as Exhibit 191; is that right?

8 **A.** No. Actually, mine says Exhibit 82.

9 **Q.** Okay. For purposes of this hearing, the
10 Chairman just identified this as Exhibit 191. Will you
11 accept that?

12 **A.** Sure.

13 **Q.** Great. It's fair to say that you used
14 essentially the same exhibits for your appearance as a
15 public witness before the Commission in the Taylor
16 Energy Center need proceeding as your exhibits in this
17 case; right?

18 **A.** I've used some of them, yes.

19 **Q.** Of your 26 exhibits to your direct testimony,
20 you told us at your deposition, I think, 23 are the same
21 exhibits that you provided in the TEC case. Do you
22 recall that?

23 **A.** I haven't counted them. I'll take your word
24 for it. And I think as I stated in my summary remarks,
25 I stated that I would like to volunteer my time to work

1 with FPL staff and Public Service Commission staff to
2 conduct these analyses. These types of analysis could
3 not be completed by my April 5th interrogatories
4 deadline. There just wasn't enough -- there isn't
5 enough time in the procedure to allow an individual to
6 do that type of analysis. I was given a few weeks, and
7 I believe FPL's resources are far greater than mine, and
8 I believe you had years to compile your studies.

9 Q. Yes, the company had years to do its work;
10 right? We had the benefit of an engineering staff; is
11 that correct?

12 A. Yes.

13 Q. We had the benefit of outside expert
14 consultants also?

15 A. That's right.

16 Q. Nearly all of the slides attached to your
17 direct testimony come from other people's presentations;
18 isn't that right?

19 A. Well, you also -- most of my time was devoted
20 to answering the questions from staff interrogatories.
21 And I think of the -- I've submitted three documents.
22 You're referring to the first document, which I already
23 had been compiling information on for public forum
24 presentations on both the Taylor plant and the Glades
25 plant. So I already had much of that information

1 available, and I was able to make use of it. Subsequent
2 to that, I submitted supplemental direct testimony in
3 response to the numerous witnesses that you had appear,
4 and then subsequent to that, I entered the answers to
5 interrogatories, which was a rather extensive data
6 information source answering all of their questions.

7 Q. Mr. Furman, I was asking you about the slides
8 attached to your direct testimony. Nearly all those
9 came from other people's presentations?

10 A. Yes. And as I stated in my summary, the
11 objective of my testimony is to present the most recent
12 and unbiased information, and so what I'm -- I'm not
13 having you rely on my word, but what I'm trying to do is
14 present two or more sources of what I consider to be the
15 most current and most unbiased sources of information.
16 They weren't hired by me. They weren't paid by me.
17 They were independent sources that aren't in favor of
18 either pulverized coal or IGCC technology.

19 Q. Well, Mr. Furman, you have hundreds, even
20 thousands of slides from other people's presentations in
21 your collection, don't you?

22 A. Yes, I do.

23 Q. And you pick out the ones you want to put
24 together your presentation; right?

25 A. No, that's not true.

1 **Q.** Somebody else picked them?

2 **A.** No, unlike Mr. Jenkins, who will pick out
3 slides and argue the case for IGCC, for IGCC when he's
4 talking to gasification people. Like when he gives his
5 IGCC 101 presentation, he'll talk about the benefits of
6 IGCC, and when he comes here, he'll talk about the
7 benefits of ultra-supercritical pulverized coal. I find
8 that morally repugnant. I've made my own determination
9 as to which technology is best and which is in the best
10 interests of our country, and I will stand by the data
11 that I'm presenting and don't try to present both sides
12 of the story.

13 **Q.** So you pick your selection of technology, and
14 then you go through your hundreds or thousands of slides
15 in your collection and put them together. And some you
16 got at seminars; right?

17 **A.** Yes.

18 **Q.** Others you found on the Internet?

19 **A.** Yes, that's right.

20 **Q.** At your deposition, some of them, you didn't
21 even recall where you got them from; isn't that right?

22 **A.** Which ones are you referring to?

23 **Q.** Do you have a copy of your deposition there?

24 **A.** No, I do not.

25 **Q.** Okay. Do you want to take a look at your

1 deposition? Do you not recall telling me that some of
2 the slides, you didn't even remember where they came
3 from?

4 **A.** If you could refresh my memory, I could
5 corroborate that.

6 MR. GUEST: I think if there's an impeachment
7 item underway, it might be useful to offer the
8 deposition to the witness so he can review it.

9 CHAIRMAN EDGAR: Yes, I agree. We need to get
10 a copy and -- okay. A copy for the witness. Mr. Guest,
11 do you have a copy?

12 MR. GUEST: I do, somewhere. But I will trust
13 the witness to read it accurately and respond
14 reasonably.

15 CHAIRMAN EDGAR: Okay.

16 THE WITNESS: Yes, I have a copy.

17 BY MR. ANDERSON:

18 **Q.** Please look at page 37 of your deposition, and
19 please look at line 14 through to line 23.
20 Specifically, your document RCF-6 is referred to. Do
21 you see that?

22 **A.** Yes. Let me just refer to the document.

23 **Q.** I asked you, "If you were not present at the
24 presentation, how did you get the slide RCF-6?" Do you
25 see that?

1 **A.** Yes.

2 **Q.** You said, "I have various sources of getting
3 the full presentations, either directly from the author,
4 from the power gen conference, or through the Internet,
5 or from other IGCC experts as we exchange information."
6 Do you see that?

7 **A.** Yes.

8 **Q.** And then you were asked this question and gave
9 this answer. "Focusing on RCF-6 in particular, do you
10 remember which of these methods you used to obtain this
11 particular slide?"

12 And you answer, "No, I do not."

13 **A.** Okay. If could I explain, then you might get
14 a perspective on the other questions that you've been
15 asking also. I have talked and corresponded with
16 probably ten different people at General Electric who
17 are in charge of different aspects of developing their
18 IGCC technology. One of them is Robert Rigdon. I have
19 spoken to him. I do have a copy of his presentation.
20 And whether I got it directly from him, whether I got it
21 from the General Electric website or not, that
22 particular slide has been presented at a number of
23 conferences. I give the reference down there for the
24 conference that it came from. The fact that I don't
25 remember where I happened to first see that or get it I

1 think is immaterial.

2 Q. You talked a little while ago about some work
3 you did. When did you leave Florida Power & Light
4 Company?

5 A. It would be either '82 or '83.

6 Q. So that's 24 or 25 years ago?

7 A. Yes.

8 Q. The plant you referred to was the Sanford
9 plant; is that right?

10 A. Yes.

11 Q. Isn't it correct that what you called a
12 conversion was only a test for a number of weeks and was
13 not implemented?

14 A. That's right. Actually, we ended up selling
15 that technology to Mitsubishi.

16 Q. But the -- I'm sorry. Go ahead. The plant,
17 the Sanford plant, though, continued to operate on oil
18 until repowered to CC for gas in 2002; right?

19 A. Right.

20 CHAIRMAN EDGAR: Okay. Hold on, Mr. Furman.
21 I'm sorry. Was that an objection?

22 MR. GUEST: Well, I think -- I'm not sure, but
23 I think the witness may not have been finished answering
24 the question before the next question. I wasn't sure.

25 CHAIRMAN EDGAR: Okay. I try to allow the

1 witnesses to finish the answer, so if you'll just bear
2 with us. Mr. Furman, were you able to complete your
3 answer?

4 THE WITNESS: I was just going to put it in
5 perspective. The reason why the -- the technology was
6 successful. We had a successful conversion of that
7 plant at 400 megawatts. It was so technically
8 successful that they asked me to go to Japan and to
9 spend a week over there explaining the technology to
10 Mitsubishi Company, who ultimately bought the technology
11 and used it for some of their plants. And it was a
12 technical success, which was my responsibility, part of
13 my -- part of a team.

14 And after that, the price of oil came back
15 down. As I think we all know, we've had spikes up and
16 down. And with the price coming down, there was no need
17 to make use of that technology. So just to put it in
18 perspective, it wasn't that the technology wasn't used
19 or couldn't be used. It was that the economics didn't
20 require it.

21 CHAIRMAN EDGAR: Okay. Mr. Anderson.

22 MR. ANDERSON: Thank you.

23 BY MR. ANDERSON:

24 Q. I would like you to take a look at a slide
25 we're going to exhibit on the right-hand side, the

1 right-hand easel, and we'll give you one to look at
2 also.

3 MR. GUEST: Madam Chairman, we're missing --
4 we can't see the outer -- the left two feet of that.

5 MR. ANDERSON: Okay. Let's move the easel so
6 everyone can read it.

7 By the way, this and the next slide Mr. Hicks
8 spoke to, so people have copies. We have additional if
9 people wish them.

10 CHAIRMAN EDGAR: Okay. This is the same that
11 was passed out?

12 MR. ANDERSON: It's the same one.

13 CHAIRMAN EDGAR: Whichever day that was that
14 this was passed out.

15 MR. ANDERSON: That's right. That's right.

16 BY MR. ANDERSON:

17 Q. Mr. Furman, we've indicated check marks on
18 this yellow board which show FPL's position concerning
19 important aspects of technology choice. Now, I'm not
20 asking you to agree with FPL's position, but just to
21 frame the balance of your examination this afternoon, I
22 ask you to agree that the placement of the check marks
23 in the various columns for the several factors reflects
24 FPL's position in this proceeding. Why don't you take a
25 look and see if you agree that that's right.

1 **A.** No, I would disagree.

2 **Q.** Okay. Well, you disagree that FPL believes
3 USCPC is the correct technology choice?

4 **A.** Yes, I do.

5 **Q.** So it's your opinion that FPL actually would
6 prefer IGCC?

7 **A.** Could you repeat that question?

8 **Q.** All we're trying to get at is, this particular
9 slide characterizes, where the check marks are, FPL's
10 position that USCPC, based on our analysis, is the
11 preferred technology with respect to technological
12 maturity, reliability, construction risk, life cycle
13 costs, generation efficiency, and CO₂ emissions, that
14 USCPC is at least as good as next generation IGCC from
15 the perspective of environmental performance, or SO₂,
16 nitrous oxide, and particulate matter. Do you
17 understand that to be FPL's position in this case?

18 **A.** Yes.

19 **Q.** Good. Could you please take down the second
20 slide?

21 **A.** Would you like me to explain why I would put
22 the checks in a different place?

23 **Q.** No, thank you, because what we're going to do
24 is explore each of these points, and I'll be asking you
25 questions, and you're free to respond.

1 Let's talk about technological maturity. Do
2 you agree that technological maturity of a generating
3 technology is an important factor in selecting a
4 technology?

5 **A.** Yes.

6 **Q.** And by technological maturity, we typically
7 mean whether it's commercial, whether it's in
8 demonstration, whether it's experimental; right?

9 **A.** Yes.

10 **Q.** You understand that by referring to
11 ultra-supercritical pulverized coal technology, FPL
12 refers to steam cycle operating pressures exceeding
13 3,600 PSIA and main superheat steam temperature
14 approaching 1,100 degrees Fahrenheit? That's what
15 Mr. Hicks was talking about yesterday as FPL's -- what
16 FPL is looking to. You understood that and heard that
17 testimony; right?

18 **A.** Yes, and I have concerns about that.

19 MR. GUEST: Your Honor, Madam Chairman.

20 CHAIRMAN EDGAR: Yes, sir.

21 MR. GUEST: I don't think this is proper
22 cross. I think all he's getting him to do is to repeat
23 what FPL has said. That doesn't tend to undermine his
24 testimony. It's just repetition of what other people
25 have said and repetition of what's on the board. I

1 think proper cross-examination is to take his testimony
2 on direct and explore it, and I think we've seen some of
3 that when examining qualifications and so forth, but I
4 don't think this qualifies.

5 THE WITNESS: I would be glad to explain what
6 my --

7 CHAIRMAN EDGAR: Mr. Furman, please, let me do
8 something as long as I'm sitting here all day.

9 Okay. Mr. Anderson.

10 MR. ANDERSON: I believe the record shows that
11 these are the various features that are important in
12 selecting generation technology. One of the core
13 elements in Mr. Furman's technology choice is asserting
14 to the Commission that a different technology choice
15 should be made, and he talks about the availability of
16 different size gasifiers and all these types of things.
17 And the heart of our case on this point is that our
18 technology is well established at large commercial scale
19 and been successfully operating. We're entitled to
20 point that out and obtain this witness's agreement as to
21 those points, and similarly, obtain his agreement that
22 there's no such demonstration of those points for his
23 technology. That's the heart of cross-examination.

24 THE WITNESS: Then I guess you would like
25 me --

1 CHAIRMAN EDGAR: Mr. Furman, please, please.
2 Okay. Thank you. And I note that Mr. Guest will have
3 the opportunity to pose questions to you on redirect
4 here shortly, so you will get another opportunity.

5 MR. GUEST: I think what I heard was that the
6 question was, "Do you think these are the right
7 factors?" And if that was the question, I wouldn't have
8 objected. But what he's really asking is, "Is this what
9 FP&L says," and I don't think that's really cross. The
10 question is, is there another factor, or shouldn't it
11 count or something? That's cross. And so it's improper
12 cross.

13 CHAIRMAN EDGAR: Okay. I've decided that I'm
14 going to implement personally the no joking rule,
15 because I was about to make one, and I'm not going to.
16 So, Mr. Anderson, in the interest of time, could you
17 perhaps be more direct in your questions and let's see
18 how that works?

19 MR. ANDERSON: That's fine.

20 BY MR. ANDERSON:

21 Q. FPL is proposing two USCPC units of 980 net
22 megawatts each; right?

23 A. Yes.

24 Q. You are aware that ultra-supercritical
25 pulverized coal units of 1,000 megawatts have been

1 designed, permitted, constructed, and are in commercial
2 operation; right?

3 **A.** I'm also aware of the problems with those
4 units, if you would let me explain why.

5 **Q.** I would suggest that would be appropriate
6 redirect. But my point has been answered. Thank you.

7 For example, the Neiderausem,
8 N-e-i-d-e-r-a-u-s-e-m, 1,027-megawatt unit, that's an
9 example of a unit of roughly comparable size and type to
10 what FPL is proposing; right?

11 **A.** Yes. And I'm also aware that very few of
12 these plants have been built in the United States, and
13 therefore, we have the question of how reliable will
14 they be in the United States, because we have different
15 building standards, different trades that we don't have
16 in the other countries. And I'm also aware that this
17 technology of these conditions was actually developed in
18 the 1950s, and the utility industry decided not to make
19 use of it. And therefore, it was developed in Germany
20 and Japan, and we're now importing that technology back
21 here.

22 So to assume that the utility industry will
23 have the same performance with those units in this
24 country under different building standards and
25 conditions I think is making a great assumption that

1 you'll be able to get that 92 percent availability. And
2 I have not seen any data to indicate that that will be
3 the fact.

4 Q. So the laws of physics are a little different
5 over there in Germany; is that right?

6 A. No, I --

7 MR. GUEST: Objection. Argumentative.

8 MR. ANDERSON: Well, he's saying that there's
9 some difference on some other continent that accounts
10 for why a technology successfully implemented in another
11 country can't be here.

12 CHAIRMAN EDGAR: I understand. I'll tell you
13 what. Let's take a 10-minute break. I would like to
14 clear my cobwebs, so let's take a short break, 10
15 minutes, and we will come back. And, Mr. Furman, stay
16 close, if you would.

17 (Short recess.)

18 CHAIRMAN EDGAR: Okay. We will go back on the
19 record. Thank you. Mr. Anderson.

20 MR. ANDERSON: Thank you. Madam Chairman, in
21 the interest of time management, we've been told that
22 counsel for The Sierra Club, et al., have maybe only
23 about 10 questions for Mr. Rose. Our thought, because
24 we would like to see him get up and go, Mr. Rose, that
25 is, also, is to complete our cross-examination, consider

1 it done at this time, and just move on.

2 CHAIRMAN EDGAR: Oh. Done at this time.

3 MR. ANDERSON: Right now.

4 CHAIRMAN EDGAR: Caught me by surprise.

5 MR. ANDERSON: We're done.

6 CHAIRMAN EDGAR: Are there questions from
7 staff?

8 MS. BRUBAKER: Staff has no questions.

9 CHAIRMAN EDGAR: Commissioners? No questions.

10 Okay. Mr. Guest.

11 REDIRECT EXAMINATION

12 BY MR. GUEST:

13 Q. Okay. Let me just start here with -- the
14 question was raised that you can't get to -- or there
15 aren't big IGCC plants that are as large as the proposed
16 Glades plant. Do you know of any method that could or
17 has been used to handle that problem?

18 A. Yes, I do. As a matter of fact, there's a
19 number of utilities and companies that are planning on
20 using that method. One is the Hunton Energy Group in
21 Texas, which is doing pretty much what I had suggested
22 in my analysis. They're proposing a 1,200-megawatt IGCC
23 plant in Texas. I have a recent article on it if the
24 Public Service Commissioners would like to see it.

25 But their plan is that they already have an

1 agreement with Valero Refinery on a long-term contract
2 basis for the petroleum coke. They're going to be
3 building this two-phase plant, 600 megawatts per unit.
4 And they also are in negotiations, and they think they
5 have a buyer for the carbon dioxide to be used in
6 enhanced oil recovery in Texas also. So that's pretty
7 much the scope that I was describing in the analysis
8 that I did.

9 The plant at Polk Power Station is basically a
10 300-megawatt unit. If you put two of these together,
11 which is what they're planning on doing on their next
12 plant, then you get -- 630 megawatts will be the output
13 capacity of that plant.

14 So all you have to do is basically the same
15 thing that Florida Power & Light and other utilities
16 have been building for the last 15 years, which is these
17 combined cycle units in multiple modules. In this case,
18 they'll be modules of 630 megawatts each. And if you
19 put three of those together at the same site, you'll
20 have about the same capacity that FPL says they need in
21 the Glades location. It would actually come out to
22 1,890 megawatts.

23 I can give other examples if you would like.

24 Q. Is there anything in particular that you could
25 do if you were to put them in that configuration that

1 would increase the availability?

2 MR. ANDERSON: Objection. Beyond the scope of
3 cross-examination. I expressly didn't go into all the
4 reliability and availability information.

5 MR. GUEST: Well, the issue here was would it
6 be possible to build one that big, and the answer is
7 yes, you could -- well, I better not say the answer, so
8 I won't. But I think that it fairly opens the question
9 of how would you do it. There's a "how would you do it"
10 question here.

11 CHAIRMAN EDGAR: All right. I'll allow.

12 A. Yes, there's a lot of things, first of all, my
13 suggestion on stepping back a minute and really looking
14 at the wide range of alternatives that are available.

15 I think we've seen here today demonstrated
16 that 1,960 megawatts may indeed not be totally the
17 requirement. Therefore, there may actually be a smaller
18 size, or maybe no size required. But if you do need to
19 build a plant and it has to be that size, that can be
20 done rather easily.

21 And actually, you can take advantage of the
22 size of that plant, because right now, on the smaller
23 size plants, it isn't really feasible to have a spare
24 gasifier for just a single unit. But when you have
25 multiple gasifiers -- in this case, in order to have the

1 capacity of the Glades plant, you would actually need
2 six gasifiers to give you that capacity. And if you did
3 that, what you could do is, you could afford a spare
4 gasifier, and that spare gasifier could actually be
5 producing methanol, which can be used as your backup
6 fuel. It's also possible to use biomass and other
7 alternative fuels which are less harmful to the
8 environment. So there's a whole range of options that
9 really haven't been evaluated as alternatives.

10 Another example, this plant that I mentioned
11 in Texas, they're going to also produce -- since it's
12 going to be a very clean plant, they're going to use a
13 waste product, petroleum coke, which is normally
14 exported outside of the country and burned without the
15 regulations that we have in this country, so they
16 actually create more pollution by exporting our waste
17 materials. If we used that waste material here in this
18 country and we control the emissions like they are in
19 the Hunton plant and capture the CO₂ -- their plans are
20 to also to generate synthetic natural gas. Well, we can
21 see in Texas, they have some -- FP&L could look at joint
22 ventures with companies like that where it is economic
23 to make use of the petroleum coke close to the source,
24 make use of the CO₂ waste product for enhanced oil
25 recovery in Texas, which is where they need it, and

1 that's also where we get our natural gas from.

2 So it would be very nice to have a joint
3 venture arrangement with a company like this Hunton
4 Energy Group, where we would be buying the synthetic
5 natural gas from them, making use of a waste product,
6 sequestering the CO₂ economically, and we make use of
7 the natural gas, buy the natural gas from them, and we
8 continue building our combined cycle natural gas plants
9 closer to our load centers, which is much more
10 efficient, and we don't degrade the environment as much.

11 So there's a whole range of products, of
12 alternatives that really should be looked at before any
13 kind of a decision is made on this type of a plant.

14 Q. I have two very quick follow-up questions on
15 that. Are there actually gasification plants around the
16 world that produce methanol, and if so, could you just
17 tell us yes or no and maybe where?

18 MR. ANDERSON: Objection. Beyond the scope of
19 cross-examination.

20 MR. GUEST: It's just following up on whether
21 methanol is -- that's really feasible, that's all.

22 CHAIRMAN EDGAR: I'll allow.

23 A. Yes. As a matter of fact, one of the pioneers
24 in this country is Eastman Chemical Company in
25 Tennessee, who has been operating for over 20 years a

1 gasification process, and their primary product is
2 methanol, which they then go on and make into other
3 chemicals.

4 Q. And why do you think that methanol could be
5 used to run the combined cycle?

6 A. That's a fuel that's commonly used to run gas
7 turbines. There's no problem with using it as a backup
8 fuel.

9 Q. You were shown this exhibit over here?

10 A. Yes.

11 Q. And the question I think that was asked of you
12 is are these -- well, may I have a moment?

13 May I have a moment? I'm really trying to
14 shorten this thing.

15 CHAIRMAN EDGAR: I understand.

16 (Pause.)

17 BY MR. GUEST:

18 Q. In the interest of time, a lot of the
19 witnesses have actually covered a lot of these items, so
20 there's really no need to -- I mean through cross, so I
21 think we can jump over the first three without asking
22 any questions.

23 Do you agree with FPL's claim that IGCC has a
24 significantly higher life cycle cost?

25 A. No, I do not.

1 **Q.** Can you briefly tell us why?

2 **A.** If you look at the two primary components of
3 what goes into the cost of electricity, it's the capital
4 costs and the fuel costs. I think we've shown that the
5 costs for the Tampa Electric next plant, which should
6 come online the same time as the Glades plant, has
7 comparable capital costs, so the next item really
8 becomes fuel costs. And I think by FPL's own expert
9 witnesses, all of them indicated that there was a
10 significant difference in the projected price of
11 petroleum coke versus their combination of coals and
12 petroleum coke.

13 So I think we can conclude from that -- and I
14 think if we go back in history and we look at the last
15 20 years of the price of petcoke, it has averaged half
16 of the price of coal. That, together with the
17 projections, make me feel pretty comfortable that
18 petcoke over the long term is going to be significantly
19 lower. And I just did a quick calculation that, based
20 on the number Steve Jenkins used in his presentation of
21 a \$1 per million Btu differential in the price between
22 coal and petcoke, nets for this plant \$120 million a
23 year of fuel cost savings, which would move on directly
24 as a savings to the consumer, because fuel costs are
25 passed on directly.

1 The other life cycle cost component that we're
2 going to have to consider is CO₂ costs, and FPL's
3 testimony indicated they thought that they would
4 probably have to pay about \$28 per ton for CO₂ credits,
5 that they wouldn't be able to capture the CO₂ from this
6 plant, so they would have to pay for the credit for
7 somebody else capturing the CO₂, since they won't be
8 able to do it economically. And they came up with a
9 number of about \$28 per ton of CO₂. The IGCC plant and
10 the DOE numbers indicated that \$18 a ton would be the
11 cost for capturing the CO₂ in an IGCC plant. So again,
12 if you take the difference between those numbers, you
13 come up with another \$120 million a year of savings.

14 So I think there are significant life cycle
15 cost savings that need to be looked at when you go to
16 IGCC.

17 **Q.** Jumping back just for a second, I just would
18 like a very brief answer to this if that's possible.
19 Are there supplier guarantees available for IGCC?

20 **A.** Yes, and that was really the reason for --

21 MR. ANDERSON: Madam Chairman, I'm sorry, but
22 we've forgone all of the examination on all these areas.
23 We did not interrogate on any of these things. We're
24 obviously prepared to demonstrate that there are no
25 contracts in the industry signing up with such

1 guarantees. It's going far beyond the scope of the
2 cross-examination, and we object.

3 CHAIRMAN EDGAR: I agree.

4 MR. GUEST: Okay. May I have a moment?

5 CHAIRMAN EDGAR: Yes.

6 BY MR. GUEST:

7 Q. In your direct testimony, you had a chart that
8 showed relative emissions?

9 A. Yes.

10 Q. Is there an issue about higher emissions
11 during startup?

12 MR. ANDERSON: FPL objects to this question.
13 Again, we did not do the environmental performance
14 cross-examination, and all this is additional direct
15 exam.

16 CHAIRMAN EDGAR: I agree.

17 MR. GUEST: Well, I'll wrap up then.

18 BY MR. GUEST:

19 Q. Mr. Anderson referred to the plant proposed
20 for Glades County as ultra-supercritical.

21 A. Yes.

22 Q. Is that true?

23 A. No, it is not. According to the numerous
24 definitions from the EPA, from the Department of Energy,
25 National Energy Technology Laboratory, and the industry

1 reference that we gave in cross-examination, I think we
2 see that what has happened is that the true definition
3 of ultra-supercritical -- and there was a reason for it
4 -- is significantly higher pressures. And the reason
5 for those higher conditions is to get higher
6 efficiencies. The whole objective of that exercise of
7 going to higher pressures and temperatures is to get
8 higher efficiencies, and the plants are not able to
9 obtain that.

10 And unless -- and they're really at the end of
11 their development life as far as how far you can push
12 this technology of boilers. And without materials that
13 can operate under those temperatures and pressures,
14 there's really no hope that we can ever get the boiler
15 technology to obtain the efficiency levels that were
16 shown for ultra-supercritical pulverized coal. So what
17 has happened instead is, the industry has tried to save
18 face by saying, "Okay. Well, we can't reach those
19 conditions and we can't get to those efficiencies, but
20 we've got this word, ultra-supercritical, so we'll try
21 and make the most out of the word."

22 But what you have instead for the IGCC
23 technology is, you have an operating plant. You have a
24 technology that has been operating for 10 years by a
25 utility in this state that has enough confidence in that

1 technology that they've selected it for their next unit.

2 There's no scale-up required in the technology
3 to go from 300 megawatts on to any size you want,
4 because they're all 300-megawatt modules. So there's
5 very little risk I see in going with the IGCC
6 technology, and therefore, I would move that check mark
7 over, and I would say there's more risk associated with
8 the supercritical technology, because there haven't been
9 any built in this country, and no operating results for
10 that.

11 And the other thing that I would like to
12 mention is this chilled ammonia process.

13 CHAIRMAN EDGAR: Okay. Mr. Furman, I think
14 we're going a little far afield. Do you have further
15 questions?

16 MR. GUEST: Yes. I've got one or two.

17 CHAIRMAN EDGAR: Okay. Then let me say,
18 Mr. Furman, if you could try to shorten your answers to
19 the question being asked.

20 THE WITNESS: Okay.

21 CHAIRMAN EDGAR: Thank you.

22 BY MR. GUEST:

23 Q. A question was raised about you've got
24 thousands of photographs. Is that true?

25 A. More like hundreds.

1 **Q.** I stand corrected.

2 **A.** It may be thousands.

3 **Q.** Okay. Is it important to have taken the
4 photograph yourself?

5 **A.** No.

6 **Q.** Why not?

7 **A.** I think you rely upon the source of the
8 information, the credibility of the source of that
9 information.

10 **Q.** Is that what the experts in your field
11 generally do?

12 **A.** Yes.

13 **Q.** Now, finally, a number of questions were asked
14 of you about various things that you haven't done. Why
15 is it that you feel comfortable in expressing these
16 opinions to the Commission and sharing your opinion
17 about the merits of these two different technologies?
18 What's the basis for that?

19 **A.** The basis for that is that during my career,
20 what I've devoted it to is energy technologies that I
21 thought had a future. And so far, I've made some pretty
22 good guesses, or educated guesses, or very educated
23 guesses as to what technologies I thought would be
24 answers to our energy problems.

25 At MIT, before the first oil embargo, I --

1 well, I guess to give the short answer, I've always
2 devoted my career to doing the initial engineering
3 studies to determine the feasibility of what
4 technologies we should really spend our efforts on. I
5 made that first determination 35 years ago when I
6 selected coal gasification as the technology that I did
7 my master's thesis on, and 25 years ago when I made my
8 last presentation to the FPL executive board and I
9 suggested to them at that time 25 years ago that they
10 ought to build their plants in three phases.

11 Phase one is a gas turbine peaking plant,
12 because that's always what you need first, is additional
13 peaking capacity, but always have the plan in mind for
14 phases two and three. And two would be the combined
15 cycle unit, so you get greater efficiency and run at a
16 higher capacity factor. And the third phase is always
17 coal gasification, because you don't know if natural gas
18 or oil or coal will be your cheapest source of fuel.

19 So I was very happy to learn after leaving
20 Florida Power & Light for quite a long time that they
21 actually listened to my recommendation, and they built
22 the Martin plant that way. It's a combined -- it's a
23 very large combined cycle plant, but the future
24 technology that they had in mind and that they listened
25 to my recommendation on was that they permitted it for

1 pulverized coal. They --

2 CHAIRMAN EDGAR: Mr. Furman, again, I think
3 we've gone a little far from the question that was
4 asked. And I think perhaps you and I have a different
5 definition of shorter answers.

6 THE WITNESS: Okay. I just thought since you
7 gave the courtesy to Mr. Hicks and Mr. Jenkins to ramble
8 on that you would give it to the other witnesses.

9 CHAIRMAN EDGAR: And, Mr. Furman, I think I
10 have done and continue to do so.

11 MR. GUEST: No further questions on redirect.

12 CHAIRMAN EDGAR: Okay. Exhibits.

13 MS. BRUBAKER: I show Mr. Furman's prefiled
14 exhibits as numbers 93 and 121.

15 CHAIRMAN EDGAR: Okay.

16 MR. ANDERSON: FPL has no objection. We would
17 also like to offer Mr. Furman's deposition. Exhibit
18 192, I think that would be the --

19 CHAIRMAN EDGAR: I think that's 190, but hold
20 on just a second and let me get the paper that I need.

21 MR. GROSS: Madam Chair.

22 CHAIRMAN EDGAR: Mr. Gross.

23 MR. GROSS: Excuse me for interrupting, but I
24 had communicated in writing to FPL objections to several
25 questions posed at Mr. Furman's deposition, and --

1 CHAIRMAN EDGAR: Mr. Gross, I'm sorry. I need
2 you to give me just a second --

3 MR. GROSS: Okay.

4 CHAIRMAN EDGAR: -- so I can do this, and then
5 I can listen.

6 MS. BRUBAKER: Madam Chairman, for
7 clarification --

8 CHAIRMAN EDGAR: No, no, no.

9 MS. BRUBAKER: I'm sorry --

10 CHAIRMAN EDGAR: Give me a moment. Thank you.
11 I just need to get my thoughts in order here.

12 Okay. So we are admitting Exhibits 93 through
13 121, and then we have these last to take up.
14 Ms. Brubaker, I'm sorry, but I'm now ready.

15 (Exhibits 93 through 121 admitted into the
16 record.)

17 MS. BRUBAKER: I beg your pardon. I just
18 wanted to clarify. Exhibit 190 was Mr. Plunkett's
19 deposition. It has been entered into the record. So
20 that would bring Mr. Furman's deposition being number
21 192.

22 CHAIRMAN EDGAR: Thank you. I appreciate
23 that.

24 (Exhibit 192 marked for identification.)

25 MR. ANDERSON: FPL would also -- we have a

1 couple of other small exhibit matters that this would be
2 a good time to consider perhaps.

3 CHAIRMAN EDGAR: Okay. Once again, just --
4 let me get there. I'm sorry. I'm getting tired, and my
5 ability to multitask is diminishing, so just a moment.

6 Okay. Where next, Mr. Gross or Mr. Anderson?
7 Mr. Gross.

8 MR. GROSS: It's my understanding, but I would
9 like -- Mr. Anderson, do you have a response to the
10 objections that we made to Mr. Furman's deposition?

11 MR. ANDERSON: Counsel indicated a few lines
12 of the Furman deposition that he did not wish admitted
13 into the record. We're fine with that, and if the page
14 and lines numbers are recited, or whatever is best,
15 we're perfectly fine with that.

16 Before talking about that further, just to
17 kind of set a little agenda, I think that would bring
18 up -- Mr. Schlissel's deposition I think is 193. He
19 has -- there were Exhibits 1, 2, and 3 to his deposition
20 also, which I don't know if it's your practice to label
21 those separately or just consider them part of the
22 Schlissel deposition.

23 (Exhibit 193 marked for identification.)

24 CHAIRMAN EDGAR: Okay. So we have the -- we
25 still have 191, 192, then we have the Schlissel, which I

1 still cannot do properly, deposition and exhibits, and
2 the question about Mr. Furman's deposition, and
3 potentially a small deletion, so to speak.

4 Okay. Ms. Brubaker, help me work through
5 this.

6 MS. BRUBAKER: Certainly. With regard to
7 Mr. Furman's deposition, we can handle those lines to be
8 excised in one of two ways. We can either as part of
9 Exhibit 191 include a page showing which portion should
10 be excised, or if it's the preference of the parties, we
11 can simply enter a redacted version with those passages
12 physically struck by permanent marker or what have you.
13 I have no preference myself. I think either one would
14 be satisfactory. Certainly we all could look at what
15 lines should not be relied upon for purposes of the
16 record. I think that would be sufficient.

17 CHAIRMAN EDGAR: Mr. Gross. I'm sorry. To
18 the -- yes, there you go.

19 MR. GROSS: I'm sorry. I didn't realize I had
20 it on already. We would prefer a redacted version.

21 CHAIRMAN EDGAR: Okay.

22 MR. ANDERSON: We don't have a problem with
23 that. We'll work with counsel with respect to that.
24 Document 193 would be the Schlissel deposition with
25 Exhibits 1, 2, and 3.

1 Then a couple of other small matters. We were
2 asked this morning for a late-filed exhibit. It was
3 premarked as 185. Basically, staff was asking for a
4 corrected figure without AFUDC. We have that here.
5 Copies are being made also.

6 CHAIRMAN EDGAR: Thank you. Okay. So the
7 document that we had marked 185 which was to be
8 late-filed and is being distributed, seeing no
9 objection, will be admitted into the record.

10 MR. GUEST: May we see that before we decide
11 whether or not to object, Madam Chair?

12 CHAIRMAN EDGAR: Oh, I'm sorry. I didn't
13 realize that you didn't have it yet. I apologize,
14 Mr. Guest. Certainly you can take a moment to look at
15 it.

16 MR. GUEST: Yes, I think we did see this. No,
17 wait a minute.

18 THE WITNESS: Madam Chairwoman, since I
19 have --

20 CHAIRMAN EDGAR: Mr. Furman.

21 THE WITNESS: Since I have a flight to catch,
22 could I be dismissed?

23 CHAIRMAN EDGAR: Are there any further matters
24 that we need Mr. Furman to remain with us for?

25 MS. BRUBAKER: Staff is aware of none.

1 CHAIRMAN EDGAR: Okay. Seeing none, thank
2 you, Mr. Furman.

3 THE WITNESS: Thank you.

4 MR. ANDERSON: Other housekeeping matters --

5 CHAIRMAN EDGAR: Hold on. I'm sorry,
6 Mr. Anderson. Again, I don't want to get confused. So,
7 Mr. Guest, we were -- I perhaps spoke too soon on 185,
8 and so --

9 MR. GUEST: I am a little confused, frankly.
10 I don't understand what the revisions are. I guess
11 that's what -- maybe you could just tell me what they
12 are and I might not be concerned. What's different?

13 MS. BRUBAKER: I'll ask FPL to clarify if I'm
14 wrong, but I believe the change is on section 1,
15 construction, grand total costs in service year without
16 AFUDC, that the Glades County IGCC number has been
17 revised. If there are any other revisions, I'll let FPL
18 speak to them, but that's the only one we've asked for.

19 MR. ANDERSON: That's the only revision that
20 has been made per your request.

21 CHAIRMAN EDGAR: Mr. Guest, was that clear?

22 MR. GUEST: I think so. I think that that
23 means that the number goes up a little from 5.7 billion.
24 Is that the bottom line?

25 MS. BRUBAKER: I'm sorry. I didn't follow

1 you.

2 MR. GUEST: The price goes up a little bit?
3 Is that the difference?

4 MS. BRUBAKER: I believe actually it -- this
5 is for the IGCC. You might recall during my
6 cross-examination of Dr. Sim that there was a disconnect
7 between what we had asked for in an interrogatory
8 response and what we actually received, and so this is
9 to clarify that number for IGCC without the AFUDC rather
10 than with, as it was included in the previous response.

11 MR. GUEST: So it's a revised interrogatory
12 answer?

13 MS. BRUBAKER: That's correct.

14 CHAIRMAN EDGAR: That is my understanding.

15 MR. GUEST: Okay.

16 CHAIRMAN EDGAR: So with that additional
17 review, this document that will be marked 185 is
18 admitted into the record, as I said previously.

19 (Exhibit Number 185 marked for identification
20 and admitted into the record.)

21 MR. BECK: Madam Chairman, may I ask staff a
22 question concerning that?

23 CHAIRMAN EDGAR: Mr. Beck, yes.

24 MR. BECK: Jennifer, does that mean you're
25 also revising the staff Exhibit 155, page 3, where that

1 was discussed?

2 MS. BRUBAKER: Yes, I think that would qualify
3 to revise that. However, please be aware that 155 is
4 not entered into the record. In terms of -- if I were
5 to refer to that document again, yes, it would
6 necessarily have to modify that.

7 MR. BECK: I just thought it would be easier.
8 This changes the 4,197 to 3,373?

9 MS. BRUBAKER: Yes, off the top of my head.
10 Again, for clarity, 155 and 156, staff is not moving
11 those into the record.

12 CHAIRMAN EDGAR: Okay. Are we all almost
13 there? Mr. Anderson.

14 MR. ANDERSON: Just about there.

15 CHAIRMAN EDGAR: Okay.

16 MR. ANDERSON: What I would like to do is just
17 walk around the Furman dep and the Schlissel dep so
18 people have them, and then we can work with counsel,
19 however they want to handle any redaction they want.
20 But the last three points we wanted to talk about were,
21 during Mr. Schlissel's cross-examination, we had
22 Exhibits 163, 164, and 165, which have had not been
23 offered yet, which we want to offer. Those are being
24 walked around also.

25 CHAIRMAN EDGAR: Okay. And we also,

1 Mr. Gross, had 162, which was, according to my record
2 that I am keeping, the errata.

3 Okay. So we have the deposition that has been
4 passed around of Mr. Schlissel with the exhibits with
5 it, which we marked as 193. I don't think I've entered
6 that, so any objection to 193 as it has been
7 distributed? Seeing none, Exhibit 193 will be entered.

8 (Exhibit 193 admitted into the record.)

9 CHAIRMAN EDGAR: And then, Mr. Anderson, thank
10 you for bringing us back to this. We had Exhibit 162,
11 Mr. Gross, that you had offered, which was the errata
12 information. Seeing no objection, 162 will be entered.

13 (Exhibit 162 admitted into the record.)

14 CHAIRMAN EDGAR: And then we had 163, 164, and
15 165, which Mr. Litchfield had put forth. Any objection?
16 Do we need a moment? We need a moment. Okay.

17 MR. ANDERSON: While that moment is being
18 taken, just as a practical way, on the Furman
19 deposition, one way to do that might be if counsel just
20 wanted to mark through the lines he talked about and
21 give that to the court reporter, that might be the
22 fastest way. My recollection is that it was fairly
23 little material, and we had no problem with what they
24 wanted to do.

25 CHAIRMAN EDGAR: Mr. Gross, does that work for

1 you?

2 MR. GROSS: That works for us.

3 CHAIRMAN EDGAR: Ms. Brubaker?

4 MS. BRUBAKER: That's fine.

5 CHAIRMAN EDGAR: Then we will take up Exhibit
6 192, which is the Furman deposition and contains the
7 small bits of redacted material that will be given to
8 the court reporter and then be part of the record.

9 (Exhibit 192 admitted into the record.)

10 CHAIRMAN EDGAR: So that leaves us, I think,
11 with 191 that we still need to discuss. And Mr. Guest,
12 I'm still waiting for comment from you and your
13 colleagues as to 163 through 165.

14 MR. GUEST: It's being reviewed as we speak.

15 CHAIRMAN EDGAR: Okay. Mr. Litchfield.

16 MR. LITCHFIELD: Madam Chairman, I think we
17 have resolution on the three exhibits in question, 163,
18 164 and 165. Mr. Gross has no objection with respect
19 163 and 165. He has asked that we in entering 164
20 simply qualify that the exhibit itself in this form does
21 not appear in Mr. Schlissel's testimony. This was as
22 modified per the cross-examination to remove the blue
23 and green data points.

24 CHAIRMAN EDGAR: This is the one where we
25 removed the blue and green data points. I recall.

1 MR. LITCHFIELD: Yes. With that
2 qualification, I believe there's no objection.

3 CHAIRMAN EDGAR: Okay.

4 MR. GROSS: I would have a greater comfort
5 level if we just struck through the testimony, because
6 it appears that it is the exhibit in his testimony.
7 Part of the testimony is captured on the sheet.

8 MR. LITCHFIELD: FPL is okay with that. This
9 would simply mean drawing a line through lines 3 through
10 6 on Exhibit 164.

11 CHAIRMAN EDGAR: I'm sorry. I need you to
12 repeat that for me, if you would.

13 MR. LITCHFIELD: It would involve drawing a
14 line through lines 3 through 6 on Exhibit 164, so
15 essentially the Q and A, including the table there,
16 would be lined through to indicate, as Mr. Gross
17 suggests, that this -- so there's no confusion as to
18 whether this was lifted directly from his testimony or
19 not. It was a cross-examination exhibit.

20 CHAIRMAN EDGAR: I'm having a hard time
21 putting my hands on that, so just a moment.

22 MR. GUEST: May we have a further moment? I
23 think we've got a problem that we're going -- we've got
24 a problem we're going to have to deal with here.

25 CHAIRMAN EDGAR: I'm sorry, Mr. Guest. A

1 problem with a problem?

2 MR. GUEST: Yes.

3 CHAIRMAN EDGAR: All right. Well, once again,
4 we'll all just take a moment.

5 MR. GUEST: Well, I think I can probably tell
6 you what it is.

7 CHAIRMAN EDGAR: Okay. And now that I know
8 what I'm looking at, I can maybe understand it.

9 MR. GUEST: Well, as I understand what
10 happened here is that -- these are projections for
11 future carbon cost regulation. And what happened is
12 that we've had a shift in proposals that are sort of on
13 the table for future carbon regulation. Some are off
14 the table and some are on. And what has happened here
15 is that the ones that are off the table are gone, but
16 the new ones that are on the table aren't on.

17 And so it seems to me that if what I'm saying
18 is true, and I'm assuming that it is, that in fairness,
19 if you're going to update an exhibit, you should update
20 it so that the things that go off the table go off, and
21 the things that go on the table go on. And so this is
22 sort of a fairness -- I mean, if we're going to update,
23 let's update everything. I'm not sure we have to deal
24 with that today.

25 CHAIRMAN EDGAR: We may hold this in abeyance,

1 so to speak.

2 Ms. Brubaker, please.

3 MS. BRUBAKER: May I ask for clarification?

4 Mr. Guest, which exhibit are you referring to? 163?

5 MR. GUEST: I thought it was 164. 163, 64.

6 CHAIRMAN EDGAR: Okay.

7 MR. LITCHFIELD: 163 is just a color version
8 of what appears in Mr. Schlissel's testimony. 164 is
9 the identical figure, and we established that on
10 cross-examination, with the only change being that we
11 whited out the green and the blue data points,
12 consistent with the cross-examination. That's it.

13 MR. GUEST: Things that went off the table.
14 And our point is that, well, if you're going to update,
15 you should be able to update both ways. That's my
16 point.

17 MR. LITCHFIELD: Madam Chairman, I don't
18 believe that Mr. Guest was even here during the
19 cross-examination, and I don't recall that there were
20 any updated data points offered by Mr. Schlissel, and
21 certainly there has been no redirect of Mr. Schlissel.
22 So I think the exhibit is complete as it was offered.

23 CHAIRMAN EDGAR: Okay. Mr. Brubaker, I was
24 going to suggest that we wait on this. Is that
25 consistent with --

1 MS. BRUBAKER: That's fine. The only comment
2 I was going to offer is, I don't think anyone is
3 believing that this is Mr. Schlissel's exhibit, that
4 it's simply a modification made for the purpose of
5 cross-examination, very much like what staff had earlier
6 for Dr. Sim.

7 You know, if you would like to wait and have
8 the parties talk about it, that's fine, but certainly in
9 my mind, I'm comfortable with the exhibit as it is, with
10 the understanding that this is not put forward by
11 Sierra. It is simply an instrument that was used by FPL
12 for the purposes of cross, and I think the transcript
13 sets forth that fully and adequately.

14 CHAIRMAN EDGAR: I'm sorry. Mr. Guest.

15 MR. GUEST: May I defer to --

16 CHAIRMAN EDGAR: Yes.

17 MS. REIMER: Madam Chairwoman, I was here
18 during the examination of Dr. Schlissel, and in fact, he
19 did mention that there were additional studies that had
20 been done that he had not looked at, because his study
21 was done prior to this, and that there were other things
22 that he would have added if he had not finished his
23 study at the time that he finished it. So what this
24 represents is simply FP&L deciding to take off some data
25 points, and we never got an opportunity for

1 Dr. Schlissel to add the data points on. So it seems
2 like all it is is just a modified version of
3 Dr. Schlissel's, which I don't see that it has any
4 material value.

5 CHAIRMAN EDGAR: Okay. Understood.

6 Therefore, I'm going to come back to my earlier
7 suggestion a few moments ago and say let's just take
8 this under advisement, and we will be back on -- we're
9 not done yet today, but we will be back on Monday, and
10 we will all be a little clearer then. I certainly will
11 be. And if we have consensus, we will approach that it
12 way, and if not, I will make a ruling.

13 Okay. Which leaves us -- that was 164. I
14 thought I heard earlier no objections to 163 and 165.
15 If that is an correct understanding, then we'll go ahead
16 and dispose of those. Is that correct? It is? Okay.
17 Then we will enter 163 and 165. We will address 164 as
18 a preliminary matter when we go back in on Monday
19 morning.

20 (Exhibits 163 and 165 admitted into the
21 record.)

22 CHAIRMAN EDGAR: And let's see. That brings
23 me, I believe, to -- I don't think we addressed 191; is
24 that correct?

25 MS. BRUBAKER: We need to.

1 CHAIRMAN EDGAR: Okay. Any objections to 191,
2 which is the testimony previously offered by Mr. Furman
3 at a prior proceeding which was put forth by
4 Mr. Anderson? Am I seeing no objection?

5 MR. GUEST: Give us a second.

6 We think it's admissible.

7 CHAIRMAN EDGAR: Is that the same thing as no
8 objection?

9 MR. GUEST: Yes, I guess so.

10 CHAIRMAN EDGAR: Okay. All right. Seeing no
11 objection, we will enter 191.

12 (Exhibit 191 admitted into the record.)

13 CHAIRMAN EDGAR: I think that dispenses with
14 all the procedural evidentiary type of things that I
15 have pending before me other than one that we are
16 holding for Monday.

17 And so, 4:30. We have one witness that we
18 want to try to take up; is that correct?

19 MR. LITCHFIELD: If we could, Madam Chair. My
20 understanding is that there are very few questions from
21 among the parties for Mr. Rose. He is an out-of-state
22 witness and would be our last out-of-state witness. It
23 would be helpful if we could dispense with him this
24 afternoon.

25 CHAIRMAN EDGAR: Okay. Are all the other

1 parties able to continue on, because I had said
2 yesterday that we would break prior to this, and I try
3 stick to that. However, if we can continue to forge on,
4 we will.

5 Okay. Then, Mr. Litchfield, if you would call
6 your witness.

7 MR. LITCHFIELD: FPL would call Mr. Judah
8 Rose. Mr. Rose, have you been sworn?

9 THE WITNESS: No, I have not.

10 CHAIRMAN EDGAR: Okay. Then we will do that
11 if you'll stand with me and raise your right hand.
12 Thereupon,

13 JUDAH L. ROSE

14 was called as a rebuttal witness on behalf of Florida
15 Power & Light Company and, having been duly sworn,
16 testified as follows:

17 DIRECT EXAMINATION

18 BY MR. LITCHFIELD:

19 Q. Would you please state your name and business
20 address for the record?

21 A. Yes. Judah L. Rose, 9500 Lee Highway,
22 Fairfax, Virginia, 22031.

23 Q. And by whom are you employed and in what
24 capacity?

25 A. I'm employed by ICF International, where I am

1 a managing director.

2 Q. And you're here on behalf of Florida Power &
3 Light?

4 A. Yes, I am.

5 Q. Have you prepared and caused to be filed 25
6 pages of prefiled rebuttal testimony in this proceeding?

7 A. Yes, I have.

8 Q. And did you also cause to be filed errata to
9 your testimony on April 13, 2007?

10 A. Yes.

11 Q. Do you have any changes or revisions to your
12 prefiled rebuttal testimony other than the errata sheet
13 that you have submitted?

14 A. No.

15 Q. If I were to ask you the same questions
16 contained in your prefiled rebuttal testimony, would
17 your answers be the same?

18 A. Yes.

19 MR. LITCHFIELD: Madam Chair, I would ask that
20 Mr. Rose's prefiled rebuttal testimony and the
21 associated errata be inserted into the record as though
22 read.

23 CHAIRMAN EDGAR: Thank you. The prefiled
24 rebuttal testimony with the errata will be entered into
25 the record as though read.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. LITCHFIELD:

Q. Now, you're sponsoring just one exhibit to your rebuttal testimony?

A. Yes.

Q. And that consists of document JLR-11?

A. Yes.

MR. LITCHFIELD: And I would note that Mr. Rose's exhibit has been premarked as 147.

1 **BEFORE THE PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **REBUTTAL TESTIMONY OF JUDAH L. ROSE**

4 **DOCKET NO. 070098-EI**

5 **MARCH 30, 2007**

6

7 **Q. Please state your name and business address.**

8 A. My name is Judah L. Rose. I am a Managing Director of ICF International
9 ("ICF"). My business address is 9300 Lee Highway, Fairfax, Va. 22031.

10 **Q. Please briefly describe your educational background and professional
11 experience.**

12 A. After receiving a degree in economics from the Massachusetts Institute of
13 Technology (MIT) and a Masters Degree in Public Policy from the John F.
14 Kennedy School of Government at Harvard University, I joined ICF
15 International in 1982. I have been working at ICF International since then and
16 now direct ICF's wholesale power practice. I have also been a member of the
17 Board of Directors of ICF International and am one of three people in a firm of
18 over 1,500 people to have been given the title Distinguished Consultant.

19 **Q. Have you worked with public sector clients on electric power issues?**

20 A. Yes. ICF has been the principal power consultant to the U.S. Environmental
21 Protection Agency (EPA) continuously for over 25 years, and analyzed all the
22 major policy initiatives involving regional controls on power plant emissions
23 such as SO₂, NO_x, and Hg. ICF also has extensive experience in analyzing the

1 impact of CO₂ regulations on the power sector including conducting the electric
2 sector analysis for the Regional Greenhouse Gas Initiative (RGGI) in the
3 Northeast and MidAtlantic.

4 **Q. Do you have other public sector clients?**

5 A. Yes. ICF has worked with the Federal Energy Regulatory Commission
6 (FERC), U.S. Department of Energy (DOE), Environment Canada, and the
7 European Union. We have also worked with state entities including those in
8 Ohio, New Jersey, California, South Carolina, New York, Connecticut,
9 Kentucky, and Michigan.

10 **Q. Do you have private sector clients?**

11 A. Yes. ICF provides assistance to electric utilities, financial institutions, power
12 marketers, fuel companies, and independent power producers. ICF also works
13 with Regional Transmission Organizations (RTOs).

14 **Q. What type of work do you typically do?**

15 A. I have extensive experience in assessing the effects of market and regulatory
16 trends on the wholesale power generation sector. This work regularly addresses
17 capacity expansion, market prices for power, and fuel and environmental
18 controls.

19 **Q. Are there other relevant aspects of your experience?**

20 A. Yes. I have authored numerous articles in industry journals and spoken at
21 scores of conferences. For additional details, please see my resume which is
22 labeled Document No. JLR-1.

1 **Q. Have you testified before other state regulators and legislators?**

2 A. Yes. I have testified before state regulators and legislators in Florida, New
3 Jersey, Ohio, California, North Carolina, Oklahoma, Louisiana, New York,
4 Pennsylvania, Indiana, Kentucky, and Minnesota.

5 **Q. On whose behalf are you testifying?**

6 A. I am testifying on behalf of Florida Power & Light Company ("FPL").

7 **Q. What is the purpose of your rebuttal testimony?**

8 A. The purpose of my testimony is threefold: first, to rebut Mr. David Schlissel's
9 supplemental testimony on the magnitude of his suggested CO₂ price forecast;
10 second, to demonstrate that the CO₂ allowance price forecasts used by FPL in
11 their costing calculations for FGPP were reasonable; and third, to demonstrate
12 that there is a direct linkage between the stringency of CO₂ policy and the
13 impact on gas prices.

14 **Q. Are you sponsoring any exhibits to your rebuttal testimony?**

15 A. Yes. I am sponsoring an exhibit consisting of one document, JLR-1, which is
16 attached to my rebuttal testimony.

17 **Q. Can you summarize your testimony?**

18 A. Yes. My testimony centers on seven main points:

19 First, I believe it is reasonable and prudent to take plausible CO₂ allowance
20 prices into account when planning future generation and that the allowance
21 prices used by FPL in their planning process meet these criteria.

1 Second, while I believe that there is uncertainty involved in forecasting CO₂
2 prices, reasonable parameters can be defined to develop plausible ranges of
3 potential prices.

4
5 Third, the CO₂ prices that Mr. Schlissel suggests be used to evaluate the
6 economics of building FGPP, and his high case in particular, are extreme and
7 represent a view unsupported by any analysis conducted by Mr. Schlissel and
8 Synapse. I say this because of a variety of policy and technology options that
9 I believe are likely to be employed that will reduce the cost of CO₂
10 allowances. These include the use of offsets and international allowance
11 trading and the deployment of new low emitting technologies including
12 nuclear, coal with carbon capture and sequestration (CCS), and renewables
13 such as wind and biomass.

14
15 Fourth, as has been stated in previous testimony by Rene Silva (pg 34), the
16 economics of building gas versus coal will largely hinge on the relative fuel
17 price versus the relative cost of environmental regulation – most notably CO₂.
18 Both of these issues are highly uncertain, but plausible, integrally related
19 scenarios can be developed and appropriately weighted.

20
21 Fifth, even if one assumes that allowance prices could potentially reach
22 \$50/ton from a fundamental perspective, I do not believe that many countries,

1 including the U.S., would tolerate the impact that such an allowance price
2 would have on the broader economy.

3

4 Sixth, not only does Mr. Schlissel's \$50/ton CO₂ price represent an extreme
5 view, but there is no evidence that he has effectively or systematically
6 modeled CO₂ prices using industry-accepted modeling techniques.

7

8 And seventh, Mr. Schlissel's characterization of EIA and MIT analyses are
9 incomplete and selective.

10 **Q. Do you believe it is reasonable and prudent to take CO₂ allowance prices**
11 **into account when planning future generation?**

12 A. Yes. Although nothing is certain of course, there is increasing momentum in
13 the U.S. that points to the fact that CO₂ will most likely be regulated in the
14 mid to long-term. This is evident in the six legislative initiatives that have
15 been introduced in the 110th Congress.

16 **Q. Will potential CO₂ emission reduction requirements tend to favor new**
17 **natural gas power plants over new coal power plants, all else being equal?**

18 A. Yes. This is because coal power plant emissions of CO₂ are higher per unit of
19 fuel input and electrical output compared to gas plants, and this issue is not in
20 dispute. What is in dispute is the extent new gas plants will be favored.

21 **Q. Are there aspects of CO₂ emission regulations that tend to mitigate the**
22 **effect on coal power plants?**

23 A. Yes. The principal mitigants are:

- 1 • Natural gas demand is expected to increase due to CO₂ emission
2 regulations and as a result, natural gas prices are expected to be higher
3 than otherwise would be the case. This natural gas price increase is
4 expected to be substantial and must be accounted for in any analysis of
5 a policy to control CO₂. This increase in gas prices at least partially
6 rebalances the cost comparison in favor of coal plants, especially high
7 efficiency coal plants, to say nothing of the reliability benefits
8 associated with fuel diversity.
- 9 • Coal demand is expected to decrease, especially from older existing
10 plants. As a result, coal prices would be lower than if CO₂ reduction
11 regulations did not exist, also partly readjusting the balance. While
12 this effect is likely to be smaller than the gas price increase, it should
13 be considered.
- 14 • Allocations of CO₂ emission allowances or permits from the
15 government can be extremely valuable in a marketized version of CO₂
16 control. The U.S. DOE considers the technology being proposed by
17 FPL as a clean coal technology. This is because it uses advanced
18 technology to increase thermal efficiency and could be favored by the
19 provision of extra CO₂ emission allowance allocations. This can also
20 partially redress the balance between new coal and gas plants in the
21 favor of coal. As an example, with regards to clean coal technology,
22 the Feinstein Bill to control CO₂ emissions S. 317 orders the EPA to
23 create a definition of 'qualifying advanced clean coal technology'

1 within 18 months of enactment. It must reflect advances in available
2 technology, taking into consideration net thermal efficiency, measures
3 to capture and sequester carbon dioxide, and output-based emission
4 rates for CO₂, SO₂, NO_x, PM, and Hg. In another example, in Europe,
5 CO₂ emission allowance allocations are being used to cushion the
6 effect on various sectors in accordance with national policy. A fair
7 consideration of the decision to build new coal plants like the one
8 being proposed by FPL must at least give qualitative consideration to
9 this potential.

10 **Q. What are the factors that tend to limit future long-term CO₂ emission**
11 **allowance prices separate from limiting the stringency of the policy?**

12 **A.** There are numerous options for reducing CO₂ and other greenhouse gas
13 (GHG) emissions (CH₄, N₂O, PFC, HFC and SF₆) which are believed to
14 contribute to climate change. These various measures of reducing GHG
15 emissions form a supply curve of mitigation options. In order for CO₂ prices
16 to be extremely high, not only does the demand for CO₂ reductions have to be
17 high (i.e., the program is very stringent), but the supply of reductions has to be
18 severely limited. The CO₂ reduction options that should be addressed in an
19 analysis of CO₂ emission allowance prices include a combination of on-
20 system reductions specific to the power system and off-system reductions, or
21 offsets, which occur outside the power sector. On-system reductions include
22 measures such as fuel switching, unit redispatch, technology and efficiency
23 improvements at existing units as well as the deployment of carbon capture

1 and sequestration, nuclear power and renewables. The deployment and
2 adoption of energy efficiency measures can also play a role. Off-system
3 reductions include such measures as CO₂ offsets from forestry and other
4 sources, and non-CO₂ greenhouse gas (GHG) reductions from other sectors.
5 These include both reductions that occur domestically in the U.S., as well as
6 those that occur abroad, particularly in developing countries. Taken as a
7 whole, these mitigating options are significant and, depending on the way in
8 which CO₂ regulation is implemented and coupled with other market forces,
9 could significantly offset any direct cost differential between a gas-fired plant
10 and a coal-fired plant imposed by CO₂ regulation.

11 **Q. Can you elaborate on the on-system reductions in more detail?**

12 **A.** Yes. On-system reductions, as mentioned above include a portfolio of
13 measures and actions that the power system, in aggregate, can undertake to
14 reduce CO₂ emissions. These measures can impact the dispatch and, in some
15 cases, the fuel choices of existing units as well as decisions regarding what
16 type of new capacity is added to the system in the future to meet load growth
17 and peak demand plus reserve margin requirements. In forecasting CO₂
18 allowance prices, new build options and their cost and performance
19 characterizations play an important role in determining the cost of complying
20 with future carbon constraints. Assumptions regarding the ability of existing
21 units to retrofit with controls can also play a role.

1 **Q. Is it reasonable to believe that carbon capture and sequestration (CCS)**
2 **will play a role in mitigating rapid growth in CO₂ costs?**

3 A. Yes. Numerous parties have discussed the importance of CCS in meeting
4 future energy needs in the U.S. and the world and are encouraging research
5 and development of CCS options. A recent study by MIT called “The Future
6 of Coal” concluded that CCS is “the critical enabling technology that would
7 reduce CO₂ emissions significantly while also allowing coal to meet the
8 world’s pressing energy needs.” (Executive Summary, p.x) President Bush has
9 stated that CCS is a top priority and supports the FutureGen project to develop
10 a low- to zero-emissions coal plant early in the next decade. Two bills have
11 been introduced this Congressional session with goals of providing financial
12 support to facilities that capture carbon emissions and improving carbon
13 capture and sequestration research, development and demonstration (S. 155
14 and S. 962).

15

16 There is a large effort underway, both in the private and public sectors, to
17 evaluate the technologies and resources necessary for CCS to work. The U.S.
18 Department of Energy’s National Energy Technology Laboratory (NETL) is
19 working on several fronts to bring CCS to commercialization. These include:
20 developing a network of regional partnerships to determine approaches for
21 CCS; funding several technology research projects to assess the potential for
22 different capture options; and researching measurement, monitoring and
23 verification approaches for the CO₂ once it is stored.

1 Utilities are also conducting analysis of CCS. AEP recently announced that it
2 will be conducting tests of two capture options over the next two years with
3 the intention of installing a commercial scale capture operation sometime in
4 the period after 2011.

5 **Q. Do these CCS tests include both new PC as well as IGCC plants?**

6 A. Yes. The two AEP tests, for example, will both be on conventional pulverized
7 coal units. The MIT study states that in terms of future CCS potential there is
8 no clear preference for IGCC versus other new coal plants. The MIT study
9 states that even though IGCC is currently the leading electricity generation
10 candidate for carbon capture, CCS has not yet been proven on this technology.
11 Further R&D may show that another technology is more cost effective or
12 more efficient at capturing CO₂; an even more likely finding is that a variety
13 of technologies will need to be deployed to suit the wide variety of coal types
14 used for electricity generation. (Executive Summary, p. xiii). The MIT study
15 also notes the trade-off between the cost to produce electricity before a carbon
16 regulation is implemented and the cost after the start of the program;
17 depending on the timing of the CCS retrofit and magnitude of that carbon
18 cost, it may be difficult to tell which plant type (IGCC or PC) will actually
19 have a lower net present value, when incorporating CCS. (Executive
20 Summary, p. xiv)

1 **Q. Does the MIT study indicate any factors with potential to alter the cost of**
2 **retrofitting CCS on existing plants?**

3 A. Yes. According to the study, the largest source of efficiency loss observed
4 with CO₂ capture on a pulverized coal plant and therefore the largest cost
5 increase comes from recovering the CO₂. The efficiency loss associated with
6 this process could potentially be reduced by one-half with a more efficient
7 capture technology, resulting in a decrease in costs per ton of CO₂ of 25%. (p.
8 28)

9 **Q. Can you elaborate on the off-system reductions in more detail?**

10 A, Yes. Off-system reductions, or offsets, represent the ability to reduce CO₂ or
11 CO₂ equivalent emissions from the six greenhouse gases identified under the
12 Kyoto Protocol (CO₂, CH₄, N₂O, PFC, HFC and SF₆) outside of the GHG
13 regulated sector. One of course has to be convinced these offsets represent
14 reductions that are equivalent to reduced on-system emissions; measurement
15 and verification protocol are currently being developed to assure that these
16 off-system reductions are real and quantifiable. The Kyoto Protocol has set
17 up flexibility mechanisms such as the Clean Development Mechanism (CDM)
18 and Joint Implementation (JI) mechanisms to assure that compliance with a
19 CO₂ cap can be met through the investment in, and purchase of, low cost
20 GHG abatement options.

21

22 Offsets exist both domestically and internationally. ICF has been at the
23 forefront of developing the inventory and cost of these potential reductions

1 through the development of both domestic marginal abatement cost curves
2 (MACCs) for the U.S. EPA and international MACCs for the International
3 Energy Agency (IEA), and we incorporate these MACC curves in our
4 analyses.

5 **Q Can you explain why you think the CO₂ allowance price forecasts**
6 **developed by Synapse are unreasonable?**

7 A. Yes. I believe that the CO₂ price forecasts developed by Synapse are
8 unreasonable because Synapse has not conducted any modeling in order to
9 forecast CO₂ allowance prices. In developing prices they have relied
10 indirectly upon studies conducted by others, giving no explanation of how
11 they arrived at the specific CO₂ price forecasts represented.

12 **Q. What is wrong with relying on other studies?**

13 A. There are several problems. First, the studies in some cases analyze the same
14 program with very different results. An expert opinion should not give equal
15 weight to contradictory inputs or methodologies. Second, the studies are of
16 different vintages and some are likely out-of-date. Mr. Schlissel elsewhere
17 emphasizes in his testimony recent developments and should not ignore recent
18 information here. Third, the studies in some cases have clear and obvious
19 methodological flaws which Mr. Schlissel ignores. These studies should not
20 be included. Fourth, Synapse selectively used certain scenarios from studies,
21 ignoring or rejecting others with no explanation. Fifth, there are certain
22 aspects of these studies that are not apparent to outsiders without full and
23 complete access to the models, data, results, limitations, etc. This would not

1 be a problem if Synapse and Mr. Schlissel did their own analysis and
2 presented the results of their own studies.

3 **Q. Can you provide examples of flaws in the studies that should have caused**
4 **them to be given significantly less weight?**

5 A. Yes. Examples of significant problems include:

- 6 • EPA Analysis of S. 843 – This analysis used offset curves only and did
7 not include CO₂ costs in plant dispatch and operation.
- 8 • MIT was not an energy sector specific model. The Emissions
9 Prediction and Policy Analysis Model is a multi-regional general
10 equilibrium model of the world economy. The version of the model
11 used in their analysis did not have the capability to represent policies
12 that discriminate among economic sectors, so MIT approximated the
13 S. 139 as applying to the entire United States economy, rather than
14 only applying it to the specific affected sectors. The MIT study
15 explains this probably causes a slight overestimation of CO₂ prices, yet
16 this point is ignored by Mr. Schlissel.
- 17 • Tellus and EIA use the National Energy Modeling System (NEMS),
18 developed by EIA, but with contradictory results. While the electric
19 sector representation in NEMS is reasonable from a national
20 perspective, it lacks detail at the regional level. For example, NEMS
21 lacks transmission transfer capabilities and treats each NERC region as
22 one large market. There is a general lack of granularity at the more
23 disaggregated regional level. The contradictory results, as filed by Mr.

1 Schlissel in exhibit DAS-3, are the result of widely divergent input
2 assumptions. Mr. Schlissel makes no determination as to which set of
3 assumptions are more or less plausible and therefore which outcome
4 should be given greater weight.

5 • It is important to note that the model developed and used by ICF – the
6 Integrated Planning Model (IPM[®]) has undergone a rigorous peer
7 review process and is regularly used for financial due diligence and
8 regulatory analysis.

9 **Q. Can you provide examples of studies of the same program which are**
10 **widely divergent?**

11 A. Yes. Mr. Schlissel identifies three studies each (MIT, EIA, Tellus) of the two
12 versions of the McCain Lieberman bill (S139^{S. 139} and SA 2028) with widely
13 different results. Nonetheless, he gives equal weight to each. The Tellus
14 results are much lower for the same program compared to EIA and Mr.
15 Schlissel provides no view as to which is correct.

16 **Q. How does Mr. Schlissel handle multiple results in the same study?**

17 A. He excludes results from some of the studies without explanation. For
18 example, the MIT study was conducted with and without offsets and with
19 different baseline growth assumptions, but it is unclear which version of the
20 analysis he is presenting. Understanding the amount of offsets and their cost
21 is critical to understanding the relative impact of on-system reductions versus
22 the amount of reductions coming from outside the system. These factors

1 together determine the effective stringency of a CO₂ policy and determine the
2 directionality and order of magnitude of the allowance price forecast.

3

4 Additionally, Mr. Schlissel does not explain why one scenario from a study
5 was accepted and plotted while other scenarios were rejected. For example, in
6 presenting the EIA analysis of S. 139, Mr. Schlissel showed only one set of
7 results (the analysis of S. 139 with *AEO2003* reference case assumptions)
8 from a study that included eight sensitivity analyses. Among the sensitivities
9 left out is an analysis of the bill using *AEO2003* high technology assumptions
10 (earlier availability, lower cost, and higher efficiencies for advanced
11 technologies), which results in CO₂ allowance prices that are 25% lower in
12 2010 and 29% lower in 2025.

13 **Q. Do any or all of the analyses address the effects of CO₂ on gas and coal
14 prices?**

15 A. Mr. Schlissel provides CO₂ prices but not fuel prices, and the numerous
16 studies he relied upon have different treatment ranging from no treatment to
17 more nuanced treatment. While Mr. Schlissel seems to acknowledge that gas
18 prices are important in evaluating power sector economics, he gives no weight
19 to the fact that CO₂ policy would have a direct impact on the price of natural
20 gas. I believe this is a key flaw in his understanding of how CO₂ prices are
21 determined and the feedback that CO₂ has on fuel prices in general and gas
22 prices in particular.

1 **Q. Do any or all of the analyses address the effects of new technologies in**
2 **mitigating the growth in CO₂ allowance price projections that were**
3 **developed?**

4 A. All studies implicitly had to make assumptions in this regard even if that
5 assumption was no technological improvement. Some of the studies
6 conducted by EIA for example did explicitly include an advanced technology
7 scenario that resulted in lower CO₂ prices – and it is interesting to note that
8 Mr. Schlissel explicitly chose not to represent those lower CO₂ prices in his
9 presentation of the different analyses or to take them into account when he
10 interpolated between the price points of the various analyses. Mr. Schlissel
11 himself does not provide a view regarding the issue of technology
12 development in mitigating CO₂ prices other than to say it is a contributing
13 factor.

14 **Q. Do any or all of the analyses address the effects of alternative emission**
15 **allowance allocation programs?**

16 A. Mr. Schlissel does not address this important issue and treatment of this issue
17 varies across the studies. None address the issue of clean coal technology
18 allowance bonuses.

19 **Q. Does Mr. Schlissel contradict Synapse and his own testimony by giving**
20 **equal weight to the High CO₂ Case?**

21 A. Yes, in his corrected direct testimony, Exhibit DAS-3, pg 53 of 63, Mr.
22 Schlissel says “the most likely scenario (will be) closer to (though not equal
23 to) low-case scenarios than the high case scenario...”. He states that after

1 2030 allowance prices could be higher in response to more stringent emissions
2 caps to achieve atmospheric stabilization. This notwithstanding, he gives
3 added weight to the high CO₂ case in his supplemental testimony where he
4 concludes that the proposed new coal plant has costs above new gas plants. I
5 discuss this contradiction later in my testimony.

6 **Q. Do you find Mr. Schlissel's CO₂ scenarios reasonable?**

7 A. No, for all the reasons I describe above. I especially take issue with his higher
8 CO₂ estimates which reach \$40 to \$50/ton CO₂. These scenarios represent
9 extreme views and should be given a very low weight by decisions makers. It
10 is important to note the extreme implications of a \$50/ton CO₂ price on the
11 power sector specifically and the U.S. economy in general. These
12 implications include:

- 13 • Very large increases in natural gas prices of \$2/MMBtu in real 2006
14 dollars. Natural gas is a crucial fuel for home heating and industrial
15 activity, including power generation.
- 16 • Very large decreases in coal use of 40 percent with adverse
17 consequences for coal using and producing areas.
- 18 • Average power sector costs increase 3¢/kWh in 2006 dollars versus
19 U.S. average rates of approximately 7¢/kWh.
- 20 • If \$50/ton CO₂ is applied nationwide, this is equivalent to adding \$357
21 billion in costs in today's dollars. On a net present value basis, this
22 equals roughly \$3.6 trillion dollars. Total wealth of U.S. households

1 (real estate, stocks, bonds, bank deposits) is \$45 trillion, and hence,
2 such a program equals a burden 8 percent of total U.S. wealth.

3 • U.S. power sector CO₂ emissions by 2030 decrease 47 percent from
4 base line. China alone is increasing its CO₂ emissions by over 10
5 percent per year and is poised to overtake the U.S. this year as the
6 world's largest carbon emitter and is not subject to controls as are
7 many other countries. The \$50/ton price is associated with small
8 effects in terms of CO₂ controls, but huge economic effects, and hence,
9 is extreme.

10 Current CO₂ prices in Europe are \$6/ton. Thus, there is no history to support
11 \$50/ton, adding to the implausibility and the inappropriateness of such an
12 extreme price forecast.

13 **Q. How do you forecast CO₂ emission prices?**

14 A. ICF explicitly takes into account up-to-date policy, market and technical
15 information and integrates these factors in our sophisticated modeling
16 framework – the Integrated Planning Model (IPM[®]) that has been used by
17 multiple utilities as well as by the US EPA and others. When conducting this
18 type of analysis, we take into account the fundamental supply and demand of
19 CO₂ reduction options including on-system reductions, offsets and alternative
20 technologies. This allows us to provide decision makers a coherent integrated
21 and documented view upon which to base decisions. Further, since it is our
22 analysis, we are in a position to fully present it in forums such as this
23 proceeding.

1 **Q. Did you model the CO₂ allowance prices used by FPL in their analysis?**

2 A. Yes. ICF developed these CO₂ allowance price streams by conducting
3 rigorous, bottom-up analyses of the cost of meeting specific CO₂ cap limits
4 using our IPM[®] model. We specifically developed the following scenarios:

- 5 • Mild CO₂ – representative of the Senator Bingaman’s Policy (S.A.
6 868) as proposed in 2005.
- 7 • Stringent CO₂ – representative of the Senators McCain and
8 Lieberman’s (S. 1151) policy as introduced in 2006.
- 9 • Moderate CO₂ – representative of a weighted price stream that used
10 the Bingaman and McCain-Lieberman policies as noted above plus an
11 analysis ICF conducted of Senator Carper’s policy introduced in 2006.

12

13 It is important to note that CO₂ prices, like any allowance price under a cap
14 and trade policy, are representative of the marginal cost of imposing emissions
15 limits. In the case of CO₂, meeting those emission limits can mean a variety
16 of responses as noted earlier including fuel switching away from more carbon
17 intensive fuels, shifting dispatch away from less efficient generation sources,
18 building more efficient generation such as ultra-super critical pulverized coal,
19 and building less carbon-intensive, but generally more expensive generation
20 sources such as renewables.

1 **Q. Is this approach consistent with your firm's historical role in assessing**
2 **the impacts of air emission regulations?**

3 A. Yes. ICF has a long history of forecasting emission allowance prices and the
4 impact of air regulations on the power and other sectors. This capability has
5 been built over the past three decades through the Firm's continuous support
6 for the U.S. EPA Office of Air and Radiation, as well as our work with a wide
7 range of utilities, merchant generators, power marketers, environmental
8 groups, fuel companies, and public agencies across the country and
9 internationally. Our analysis is based on the same framework that we use for
10 our power market evaluation, providing internal analytical consistency. As
11 noted, ICF has been the leading consultant to the US Environmental
12 Protection Agency and to commercial industry on the economic and
13 environmental impacts of the Clean Air Act Amendments (CAAA) and other
14 environmental policies for over 30 years. We evaluated the costs of
15 compliance with the acid rain regulations (Title IV) of the CAAA of 1978 and
16 1990, focusing on forecasted effects on utility SO₂ emissions, utility costs,
17 electricity rate increases, and regional coal markets.

18

19 Prior to the CAAA, ICF evaluated all of the major legislative proposals from
20 industry and environmental groups, appraising the emissions, costs, and coal
21 market impacts of various proposed and final revisions to the CAAA. We
22 have assessed impacts of SO₂ emissions trading on utility compliance costs
23 and regional coal markets under an acid rain control program. We continue to

1 support EPA's air regulatory analyses. We were the lead analysts supporting
2 the Clean Air Power Initiative (CAPI); provided analytic and other support for
3 the SIP Call process; provided carbon related analysis, and currently support
4 ongoing multi-pollutant and related analyses including the Clear Skies Act,
5 Senator Carper's Clean Air Planning Act, the Clean Air Interstate Rule
6 (CAIR) and Clean Air Mercury Rule (CAMR) regulations and mercury
7 maximum achievable control technology (MACT) proposals. In addition, ICF
8 has been one of the world's leading firms in the development and application
9 of GHG estimation protocols. We have provided technical knowledge of
10 GHG and other emissions sources in energy production operations to a wide
11 range of clients including the Federal Government, the Intergovernmental
12 Panel on Climate Change, Environment Canada, the UN, World Bank, and a
13 number of public and private organizations across the U.S. and in Europe. We
14 are increasingly working with states and regions to analyze the impacts of
15 regional emissions caps, including the Regional Greenhouse Gas Initiative
16 (RGGI), and the states of New York and Connecticut.

17 **Q. Are there any errors in Mr. Schlissel's supplemental direct testimony that**
18 **are pertinent to your rebuttal?**

19 A. Yes. In Table 1 of his supplemental direct testimony, Mr. Schlissel makes
20 two errors in replicating summary results originally provided in Mr. Silva's
21 direct testimony. Table 1 shows the summary results of the cost differential
22 analysis described in Mr. Silva's direct testimony/and notes the errors made
23 by Mr. Schlissel in his representation of the same results. A negative value in

1 the table indicates that the Plan with Coal is less costly than the Plan without
2 Coal.

Table 1. Cost Differentials of FPL Scenarios (Millions, 2006\$)

Fuel Cost Forecasts	Environmental Compliance Cost Forecasts			
	A – No CO ₂	B – Low CO ₂	C – MidCO ₂	D – High CO ₂
High Differential	(2,792)	(2,045)	(1,127)	(666)*
Shocked Differential	(873)	(113)	804	1,278
Medium Differential	(219)	537	1,466	1,930
Low Differential	1,912 [^]	2,670	3,604	4,037

* In his Supplemental Direct Testimony, Mr. Schlissel entered an incorrect value of 1,912.

[^] In his Supplemental Direct Testimony, Mr. Schlissel entered an incorrect value of (1,912).

3 **Q. Can you please explain why Mr. Schlissel’s conclusions from the results**
4 **shown in Table 1 are unreasonable?**

5 A. In his examination of the results in Table 1, Mr. Schlissel states that the cases
6 under Environmental Cost A “are not reasonable and should not be
7 considered.” Similarly, he describes the Low CO₂ cost forecast in column B
8 as an “unreasonable assumption over such a long period of time.” He then
9 concludes that “just one out of eight scenarios ... suggest[s] that FGPP would
10 be the lower cost capacity addition to FPL’s system,” referring to the case
11 combining CO₂ Cost Forecast C and the High Differential Fuel Forecast.

1 I would first point out that correcting the error in Mr. Schlissel's Table 1, even
2 under his unduly narrow approach, results in 2 of the 8 scenarios showing
3 FGPP as the lower cost option relative to new gas capacity.

4
5 More importantly, however, is that Mr. Schlissel fails to evaluate the potential
6 for each of the scenarios with an integrated view of fuel and CO₂ markets and
7 therefore is too broad in his determination of which scenarios he considers
8 reasonable. As discussed earlier, ICF regularly analyzes the interactions of
9 fuel markets and environmental regulations. In those analyses, it quickly
10 becomes apparent that as environmental costs for coal-fired plants increase
11 relative to those for gas-fired plants, as they would under any sort of CO₂
12 regulation, the demand for gas-fired generation and therefore for natural gas
13 itself increases. At the same time, coal prices tend to decrease, broadening the
14 differential between gas and coal prices.¹ Therefore, the Fuel Cost Forecasts
15 with lower differentials between gas and solid fuel costs are unlikely under the
16 Mid and High Environmental Cost Forecasts.

17
18 By narrowing Mr. Schlissel's subset of 8 cases further by removing the Low
19 and Medium Differential Fuel Cost Forecasts, 2 of 4 cases show FGPP as the
20 lower cost option for FPL's system, with the upside of the project roughly
21 equivalent to the downside. Based on this subset of cases in Table 1, the

¹ Mr. Yupp describes the relationship between environmental cost and gas prices the same way in his testimony.

1 upper bound of the potential cost of FGPP over natural gas generation is
2 \$1.278 billion, as compared to Mr. Schlissel's conclusion of \$4.037 billion.

3 **Q. Would higher CO₂ costs than those included in the analysis in Table 1,**
4 **such as the Synapse Mid and High Cases proposed by Mr. Schlissel,**
5 **increase the potential cost of FGPP relative to the costs presented in**
6 **Table 1?**

7 A. Not necessarily. First, as discussed earlier, I believe the higher CO₂ costs
8 proposed by Synapse are unreasonable for a number of reasons. But even if
9 CO₂ costs did rise above those assumed in the High Environmental Cost
10 Forecast reflected in Table 1, natural gas prices would likely rise as well,
11 thereby offsetting some of the additional cost incurred by FGPP relative to a
12 gas-fired generator. Depending on the relative stringency and the reaction of
13 gas prices, FGPP may or may not remain the lower cost option for FPL's
14 customers.

15 **Q. So Mr. Schlissel's conclusion that the cost to FPL's customers "would rise**
16 **significantly above \$4.037 billion" under Synapse's Mid and High CO₂**
17 **Price Forecasts is unreasonable?**

18 A. Yes, for a couple of reasons. First, Mr. Schlissel uses the highest cost in
19 Table 1 as a basis for his comparison even though, as noted above, the
20 combination of a High CO₂ cost and low fuel price differential is very
21 unlikely. I would argue that the Shocked or High Differential costs would
22 serve as the starting point for such a comparison. Second, the higher CO₂

1 costs assumed in the Synapse cases would drive up gas prices, offsetting some
2 of the added cost to FGPP of the higher CO₂ cost.

3

4 As with the Synapse CO₂ forecasts themselves, Synapse does not appear to
5 have done any analysis to support Mr. Schlissel's claim that costs would rise
6 "significantly" and certainly not as compared to the \$4.037 billion value.

7

8 In fact, Mr. Schlissel concedes in his recent deposition that while he
9 understands that CO₂ regulations have the effect of increasing natural gas
10 prices, no specific gas price forecast or price response was assumed in his
11 studies. By not taking a position on this effect, he did not adequately consider
12 the impacts to natural gas prices that would result from higher CO₂ prices.

13 **Q. Does this conclude your testimony?**

14 **A. Yes.**

1 BY MR. LITCHFIELD:

2 Q. Have you prepared a summary of your rebuttal
3 testimony?

4 A. I have.

5 Q. Would you please offer that at this time?

6 A. Yes. My testimony centers on six main points.
7 First, I believe it is reasonable and prudent to expect
8 future controls of CO₂ emissions and reasonable to take
9 plausible CO₂ allowance prices into account when
10 planning future generation. The allowance prices used
11 by FPL in their planning process meet the plausibility
12 and prudence criteria.

13 The CO₂ allowance prices used by FPL were
14 developed by my company, ICF International, based on
15 ICF's modeling of proposed CO₂ regulatory programs. In
16 contrast, there's no evidence that Mr. Schlissel has
17 effectively or systematically modeled CO₂ prices using
18 industry accepted modeling techniques.

19 Second, the development of reasonable CO₂
20 parameters requires a balanced accounting of both the
21 negative impacts of CO₂ regulation on the economics of
22 new coal power plants versus new gas plants, as well as
23 offsetting factors. The offsetting factors largely
24 mistreated by Mr. Schlissel include: (1) Higher natural
25 gas prices; (2) lower coal prices; (3) the potential for

1 CO₂ emission allowance allocations to new coal power
2 plants employing clean coal technology, such as
3 ultra-supercritical PC; (4) low prices for SO₂, NO_x, and
4 mercury allowances; and (5) increased diversification
5 and reliability benefits from coal power plants.

6 Third, Mr. Schlissel uses analyses with
7 significant methodological flaws, including studies
8 claiming negative compliance costs and others ignoring
9 the effect of CO₂ regulation on power plant operations.
10 He selectively uses results excluding nine of eleven EAI
11 S. 139 analysis scenarios and 13 of 14 MIT S. 139
12 analysis scenarios without explanation.

13 Fourth, I believe the CO₂ prices that
14 Mr. Schlissel suggests be used to evaluate the economics
15 of building FGPP, in his high case with \$50 per ton
16 prices in particular, are extreme and should be given
17 very little weight. I say this because there are a
18 variety of policy and technology options that reduce the
19 cost of CO₂ allowances, including use of offsets,
20 international allowance trading, and the deployment of
21 new low-emitting technologies, including nuclear, coal
22 with carbon capture and sequestration, and renewables.

23 Fifth, even if one assumes that allowance
24 prices could potentially reach \$50 a ton from a
25 fundamentals perspective, I do not believe that the U.S.

1 could tolerate the impact of such an allowance price.
2 Raising retail rates 50 percent in real terms would so
3 depress electricity demand as to preclude allowance
4 prices at these levels.

5 Sixth, neglecting to account for increasing
6 gas prices caused by CO₂ regulation, combined with other
7 errors and contradictions, leads Mr. Schlissel to an
8 incorrect treatment of FP&L's analysis of the relative
9 economics of new coal and gas power plants.

10 Mr. Schlissel greatly understates the likelihood that
11 new coal power plants will outperform new gas power
12 plants. When I correct his review of FPL analysis, the
13 number of cases in which the proposed coal plant
14 outperforms an alternative gas plant increases from 1 in
15 8 to 2 out of 4.

16 Q. Does that conclude your summary?

17 A. It does.

18 MR. LITCHFIELD: Mr. Rose is available for
19 cross-examination.

20 CHAIRMAN EDGAR: Thank you. Mr. Beck.

21 MR. BECK: Thank you, Madam Chairman.

22 CROSS-EXAMINATION

23 BY MR. BECK:

24 Q. Good afternoon, Mr. Rose.

25 A. Good afternoon.

1 Q. Would you turn to page 19 of your testimony,
2 please.

3 A. Yes.

4 Q. On page 19, you describe certain scenarios
5 which you developed that FP&L relied on for their
6 forecasts; is that correct?

7 A. Yes.

8 Q. Could you tell me the date that you prepared
9 those scenarios?

10 A. These scenarios were prepared approximately at
11 the end of last year. We have subsequently completed
12 our update, and I'm prepared to discuss that as well,
13 but these particular scenarios were prepared as of the
14 end of 2006.

15 Q. The first scenario that you list beginning on
16 line 5 is the mild CO₂ representative of Senator
17 Bingaman's policy.

18 A. Yes.

19 Q. Do you see that?

20 A. Yes, I see it.

21 Q. Would you briefly describe Senator Bingaman's
22 policy as proposed in 2005 that it lists there? What is
23 that?

24 A. Senator Bingaman has a proposed bill that
25 requires emission reductions via a procedure by allowing

1 that the CO₂ intensity of the economy should decrease
2 over time. So it's taking into account both economic
3 growth, allowing that to sort of raise the level of CO₂
4 emissions, but also asking that the CO₂ per dollar go
5 down.

6 He also has in there provisions related to
7 economic hardship, as many of the bills do. One of the
8 provisions there is related to what they call a safety
9 valve, saying that there's a maximum price that we'll
10 allow for CO₂. This is one of many provisions that's in
11 place to prevent there being a catastrophic or extremely
12 negative outcome for the economy associated with the
13 CO₂.

14 So that is the main elements of Senator
15 Bingaman's policy proposal as embodied in his proposed
16 legislation.

17 **Q.** Why did you choose that as representative of a
18 mild CO₂ forecast?

19 **A.** As the debate has developed over the last
20 couple of years, there seems to be a recurrence of a
21 particular set of proposals. It seems the debate is
22 coalescing around three types of proposals. Senator
23 Bingaman's is one of those three. It is the more mild,
24 and generally because of the safety valve and the
25 willingness to allow and accommodate economic growth

1 explicitly, tends to have a relatively low CO₂ price in
2 terms of dollars per ton.

3 Q. The second scenario that you describe
4 beginning on line 7 is the stringent CO₂ representative
5 of Senators McCain and Lieberman's policy as introduced
6 in 2006; is that correct?

7 A. Yes.

8 Q. Would you describe their bill?

9 A. In contrast to Senator Bingaman's proposal,
10 which is explicitly trying to balance the rate of
11 economic growth and the CO₂ intensity of the economy,
12 the McCain-Lieberman bill has an explicit cap. It's a
13 fixed amount of tons that's decreasing over time. There
14 is no safety valve provision, although there is a
15 recognition of hardship via the use of giving out the
16 allowances to the people that are most adversely
17 affected. But it has a cap that is not directly tied to
18 economic growth.

19 Q. And your third scenario listed is a moderate
20 CO₂, which is representative of a weighted price stream
21 of both Bingaman and McCain-Lieberman and an analysis of
22 Senator Carper's policy; is that correct?

23 A. Yes.

24 MR. BECK: Okay. I would like to hand you an
25 exhibit, if I could. And it has to be marked for

1 identification.

2 CHAIRMAN EDGAR: Okay. And this will be 194.
3 Mr. Beck, title as listed here, does that work?

4 MR. BECK: Yes.

5 CHAIRMAN EDGAR: "Redacted Excerpt from ICF
6 Emission Markets Outlook."

7 (Exhibit 194 marked for identification.)

8 BY MR. BECK:

9 Q. Mr. Rose, do you have Exhibit 194 for
10 identification in front of you?

11 A. Yes, I do.

12 Q. And do you recognize that?

13 A. Yes, I do.

14 Q. And is this an excerpt from the report that
15 Florida Power & Light used in their scenarios for carbon
16 emission costs?

17 A. Yes, it's a redacted portion, so there's some
18 proprietary information there, confidential information.

19 Q. ICF developed what you call an expected case
20 for air regulation, did it not?

21 A. Yes.

22 Q. Could you describe that for me, what that is?

23 A. The expected case was based on looking at
24 several of the proposed legislation related to CO₂
25 control and giving weight to those proposals, and over

1 time increasing the weight that we give to the more
2 stringent proposals, in recognition that there's likely
3 to be increasing stringency in the program over time.
4 So we start with giving more weight to the less
5 stringent programs, more weight to the more stringent
6 programs, and we also tend to have the -- eventually, we
7 give some weight to the stringency being such that it
8 allows the CO₂ program in the United States to come into
9 line with international developments. And that would be
10 close to, although not exactly the same as the
11 McCain-Lieberman bill.

12 Q. And page 2 of the exhibit describes some of
13 the things you just described, does it not, describes
14 what your expected case is?

15 A. Yes.

16 Q. And page 3 is a redacted page which has the
17 specifics of the expected case; is that correct?

18 A. Yes.

19 Q. And it has both the Bingaman and McCain bills
20 listed in the chart that's blacked out there, does it
21 not?

22 A. Yes, it does.

23 Q. And are those the mild and stringent cases
24 that you described earlier?

25 A. Yes.

1 MR. BECK: Chairman, I have a confidential --
2 or an exhibit that FP&L has claimed confidentiality for
3 that I would like to be marked as an exhibit. I'll
4 leave it to FPL to tell me who to provide it to.

5 CHAIRMAN EDGAR: Mr. Litchfield?

6 MR. GUEST: We've all signed confidentiality
7 agreements, and we've seen this document. We would like
8 a copy to work with while we're here.

9 MR. LITCHFIELD: I believe that's true with
10 respect to counsel for Earthjustice. I cannot recall at
11 the moment whether the Krasowskis did or did not sign.

12 CHAIRMAN EDGAR: Did not.

13 MR. LITCHFIELD: Did not? And AIF did not.
14 So with those two exceptions, I think everyone else is
15 entitled to review.

16 CHAIRMAN EDGAR: Thank you. Ms. Brubaker, do
17 we need to mark?

18 MS. BRUBAKER: Yes, let's go ahead and mark
19 it, and then we'll address whether it gets moved into
20 the record or not afterwards.

21 (Exhibit 195 marked for identification.)

22 CHAIRMAN EDGAR: Okay. So this is 195.
23 Mr. Beck, a title, please.

24 BY MR. BECK:

25 Q. Mr. Rose, do you have Exhibit 195 for

1 identification in front of you?

2 **A.** Yes.

3 **Q.** And that's page 142 from the full report that
4 you provided, is it not?

5 **A.** Yes.

6 **Q.** And is that the same as page 3 on Exhibit 194,
7 except the page I just handed out has no redactions on
8 it?

9 **A.** Yes.

10 **Q.** On Exhibit 195, the expected case is charted
11 on the right side of the page, is it not, in the dark
12 line?

13 **A.** Yes.

14 **Q.** And the Bingaman case, which is the mild
15 scenario, that's one of the lines on the chart that has
16 small circles lightly shaded; is that correct?

17 **A.** Yes.

18 **Q.** And the McCain one is on the chart, and it's
19 got little squares lightly shaded; is that correct?

20 **A.** Yes.

21 **Q.** If we were to compare the expected case to the
22 Bingaman, which is the mild case, could you state
23 generally whether it's less than, the same, or greater
24 than the mild case?

25 **A.** The expected case is generally above the mild

1 case.

2 Q. And compared to the McCain case, which is the
3 stringent case, could you state generally whether it's
4 lower than, the same as, or higher than the McCain case?

5 A. It's generally lower than.

6 Q. On the left side of the exhibit, there's
7 certain probabilities listed there. Do you see them?

8 A. Yes.

9 Q. So you have probabilities listed for each of
10 the scenarios that are listed on the chart on the right
11 side; is that correct?

12 A. That's correct.

13 Q. Could you state generally how you determined
14 those probabilities?

15 A. The procedure is expert judgment. It's based
16 on the experience of our staff who are actually doing
17 the analyses of the bills and taking into account both
18 the domestic and international developments.

19 Q. And does this reflect your best judgment of
20 what is to be expected, you know, is the consensus of
21 your experts?

22 A. Yes.

23 Q. I think you mentioned earlier that you have
24 prepared an update to this?

25 A. Yes. We recently completed an update of our

1 analysis for all the bills and were able to confirm that
2 there is no change in our expected case that's warranted
3 based on the revisions to the legislation that we've
4 chosen here to base our analysis on nor in terms of our
5 perception of the international market.

6 Q. How often do you prepare revisions to the
7 expected case?

8 A. We do attempt to stay as current as possible.
9 Having said that, this particular documents tends to
10 come out annually. We have a fairly broad subscription
11 base. But again, even within that period of time, we do
12 try to keep as up to date as possible based on the most
13 recent developments.

14 MR. BECK: Mr. Rose, thank you. That's all I
15 have.

16 CHAIRMAN EDGAR: Mr. Guest, do you have
17 questions, or Mr. Gross? Mr. Gross.

18 MR. GROSS: One moment, please.

19 CROSS-EXAMINATION

20 BY MR. GROSS:

21 Q. Good afternoon, Mr. Rose. My name is Michael
22 Gross, and I represent the environmental entities,
23 Sierra Club, NRDC, and other environmental entities.

24 Referring to pages 9 and 10 of your rebuttal
25 testimony, please.

1 **A.** Yes.

2 **Q.** You discuss the recent MIT study on the future
3 of coal; correct?

4 **A.** Yes.

5 **Q.** And did you read the entire MIT report before
6 you drafted your rebuttal testimony in this proceeding?

7 **A.** Most of it, but I can't say for sure that I
8 read all of it.

9 MR. GROSS: I would like to hand out some
10 excerpts from the MIT study, "The Future of Coal."

11 (Exhibit 196 marked for identification.)

12 CHAIRMAN EDGAR: Okay. Mr. Gross, 196, and
13 why don't you give me a title, please.

14 MR. GUEST: Well, this is excerpts of MIT
15 study, "The Future of Coal."

16 CHAIRMAN EDGAR: Thank you.

17 BY MR. GROSS:

18 **Q.** Mr. Rose, please refer to page Roman numeral
19 11 or xi, and the third paragraph from the bottom.

20 Now, is it not the case that MIT analysts
21 estimate that it would take about a \$30 per ton CO₂
22 emission price to make CCS, carbon capture and
23 sequestration, cost competitive with coal combustion and
24 conversion systems without CCS with respect to new plant
25 construction?

1 **A.** Yes, they do say that here on this page. But
2 as I quoted elsewhere, they're also saying that there's
3 significant uncertainty about that particular number,
4 and therefore, they've concluded that the technology
5 needs to be given a chance to develop.

6 **Q.** Refer to page 10, Roman numeral x, the
7 previous page. Again referring to the third paragraph
8 from the bottom, the last sentence, is it a fact that
9 MIT analysts used a high price trajectory that starts at
10 \$25 per ton CO₂ in 2015 and increases at 4 percent per
11 year real rate? Is that correct?

12 **A.** Yes. They did not prepare any basis for that
13 assumption in the document, but they did employ that as
14 one of the scenarios that they examined.

15 **Q.** And do you agree, subject to check, that this
16 would lead to about a \$45 per ton CO₂ price in 2030?

17 **A.** What was the number that you said, sir?

18 **Q.** This would lead to about a \$45 per ton price
19 in 2030.

20 **A.** Yes.

21 **Q.** Now, next I would like to refer you -- and I
22 don't know if you have a copy of this or if we have an
23 extra -- we don't have an extra copy. We've been giving
24 out the copies. But this is David -- is there a copy of
25 David Schlissel's corrected supplemental testimony that

1 you could -- I mean, I don't mind approaching the
2 witness, if that's okay with everyone, to show him a
3 chart.

4 CHAIRMAN EDGAR: I'm sorry. Why don't you
5 show Mr. Litchfield first, if you would, and we'll go
6 from there.

7 BY MR. GROSS:

8 Q. Mr. Rose, if you would just please look at
9 Figure 2 on page 8, and this is of David A. Schlissel's
10 corrected supplemental testimony dated April 17, 2007,
11 and familiarize yourself with that, and I have a
12 question to ask you about it.

13 A. I'm familiar with this.

14 Q. Now, isn't it fair to say that the mid range
15 price for CO₂ from approximately 2011 to 2030 for FPL is
16 pretty similar to the mid range CO₂ costs projected by
17 Synapse, which is Mr. Schlissel's employer?

18 A. If you just could give me like, you know, 12
19 more inches.

20 There is some similarity there. In fact, the
21 number that I believe that he uses is about \$5 a ton, 5
22 or \$6 a ton higher on a levelized average basis in the
23 mid case compared to our expected case. And to get a
24 sense of what that is, it's something on the order, on
25 average, of 19 to 20 versus 14.

1 **Q.** And that pattern continues all the way up to
2 2030; correct?

3 **A.** Well, now that you took the exhibit away --

4 **Q.** Okay. I thought you had memorized it.

5 **A.** Yes, I think that's a fair characterization.
6 We're pretty close on the mid and expected cases. Where
7 we differ is primarily -- not to minimize the difference
8 that we just discussed, but there's a huge difference in
9 the high case.

10 **Q.** Now, Mr. Rose, I would like to refer you now
11 to page -- once again to page 19 of your rebuttal
12 testimony, lines 5 and 6. And here you refer to your
13 mild CO₂ scenario as being representative of Senator
14 Bingaman's policy, S.A. 868. And I believe you were
15 already questioned about this; correct?

16 **A.** Yes.

17 **Q.** Do you know for a fact that Bingaman's
18 proposal was never actually submitted as a bill in
19 Congress?

20 **A.** No, I do not know that to be the case.

21 **Q.** Do you know one way or the other?

22 **A.** My recollection is it was, and that's how it
23 received the number S.A. 868. In order to receive that
24 number, my understanding is that you have to propose it.

25 The revised bill, the one that's in the

1 current Congress, may not have yet been submitted,
2 although there's a -- you can read it and see what it
3 says.

4 MR. GROSS: Excuse me just a moment. I've got
5 it here. I'm sorry. I was looking in the supplemental
6 as opposed to the initial testimony.

7 BY MR. GROSS:

8 Q. Also looking at page 19, lines 9 to 11 of your
9 testimony, how did you produce a weighted price stream
10 for your moderate CO₂ scenario?

11 A. As was discussed in the previous set of
12 questions, we analyzed individual bills plus an
13 international scenario. And by the way, those proposals
14 have with them -- each one of those are forecasts of
15 natural gas prices. We believe that you can't do one
16 without the other, and so we have an expected case
17 that's a probability weighting. So if you had two cases
18 and each was 50-50, you would sort of get a number. We
19 did it for several cases plus an international scenario.
20 We probability weighted that, and so we have an expected
21 value, which mathematically means you're probability
22 weighting it, and we have that for both CO₂, and I think
23 importantly, for gas as well. So we have views with
24 respect to how the two move together, and that's how we
25 did it.

1 **Q.** Do you know whether Senator Carper has
2 resubmitted his 2006 bill in the current Congress?

3 **A.** This is my understanding of the current
4 situation. Senator Feinstein has introduced a bill
5 which starts "Senator Feinstein," and then I think says
6 parenthetically or something to that effect, "for Mr.
7 Carper." So they're sort of cosponsoring a bill that's
8 pretty similar to what they had in the previous session.

9 And I believe in the last several days,
10 Senator Carper has introduced his own legislation, such
11 that there are actually two, if you will, Carper bills
12 that are out there, and that one is extremely similar in
13 terms of its caps. So that's how I can say even in
14 spite of the fact that one of bills just came in in a
15 couple days, we've been able to analyze the most recent
16 key legislation.

17 **Q.** Are you aware that the 2007 Feinstein-Carper
18 bill goes much farther than the 2006 bill, mandating
19 additional reductions after 2015 and mandating 1 -- in
20 fact, mandating 1 percent reductions from 2016 to 2019
21 and 1.5 percent reductions starting in 2020?

22 MR. LITCHFIELD: Object to the form. It
23 assumes facts not in evidence.

24 MR. GROSS: In fact, this is on page -- this
25 fact is in a schedule of bills and their substance in

1 David Schlissel's corrected direct testimony filed
2 March 16, 2007, and this is on page 11. I hope so.
3 Let's see.

4 THE WITNESS: I'm sorry. Is there a question
5 pending?

6 CHAIRMAN EDGAR: Oh, I think there are a
7 couple of them, actually.

8 MR. LITCHFIELD: I'm searching for the
9 reference, Madam Chairman. I don't seem to see it, but
10 I may be --

11 CHAIRMAN EDGAR: Mr. Gross, can you point us?

12 MR. GROSS: Well, what I'm looking at is
13 Feinstein-Carper, S. 317, 2007, and it shows here that
14 it mandates 1 percent per year reduction from 2016
15 through 2019 and a 1.5 percent per year reduction
16 starting in 2020. And that was the question, if he was
17 aware that that 2007 bill goes farther than the previous
18 Carper bill.

19 CHAIRMAN EDGAR: Okay. Hold on.

20 MR. LITCHFIELD: And I'm sorry. What was the
21 reference in Mr. Schlissel's testimony?

22 MR. GROSS: Page 11, and it's the
23 Feinstein-Carper.

24 MR. LITCHFIELD: Okay. I see it. Thank you.
25 Does the witness have that in front of him?

1 THE WITNESS: I do not have Mr. Schlissel's
2 testimony in front of me.

3 (Document tendered to the witness.)

4 THE WITNESS: I see that testimony, and I have
5 a couple of things to say about that. I do see that the
6 CO₂ reductions are moderately more stringent than the
7 previous version, that is, the previous version of
8 Feinstein. And having completed the analysis of the
9 updated, I found that the expected value didn't change.

10 But I did also specifically mention in my
11 testimony the fact that -- mentioned the Feinstein bill,
12 S. 317, specifically to point out that, no, it had not
13 gone more stringent. In some sense, it had gone the
14 opposite direction, because specifically here they're
15 saying that a clean coal plant, including ones that have
16 high thermal efficiency, could qualify for CO₂
17 allowances.

18 So that actually works the other way, and in
19 fact could be very favorable to this particular power
20 plant, since it has clearly already been designated by
21 the government, that particular technology, by the
22 Department of Energy, as a clean coal technology. The
23 provision of those allowances for this particular plant
24 would significantly offset the fact that there are
25 somewhat tighter emission reduction requirements.

1 And as I indicated, in balance, taking into
2 account all of the new developments in the bills, my
3 expected value has not changed, in part because some of
4 the other bills went the other direction, particularly
5 the McCain-Lieberman, as we discussed last week, went
6 from 15 to 30 percent on the offsets. So taking that
7 all into account, both this bill and the aggregate of
8 the bills I don't consider to have gone much farther in
9 the sense of being more difficult for FGPP.

10 BY MR. GROSS:

11 **Q.** Refer to your Table 1 on page 22 of your
12 testimony. And in column A, there are -- there's
13 information based on the assumption of no CO₂ costs; is
14 that correct? Do you see that?

15 **A.** Yes.

16 **Q.** Isn't it unreasonable at this point to expect
17 that there will be no regulation of CO₂ emissions, and
18 consequently, no CO₂ allowance prices at any time during
19 the projected lifetime of the FGPP project?

20 **A.** I guess what I would say is that it's
21 unlikely. And as you know from my testimony, we do
22 expect that there will be CO₂ controls. So I would say
23 it's unlikely.

24 I would sort of have to also say that, just
25 like maybe this no CO₂ column is not that useful to the

1 Commission, the same thing with the low gas prices, the
2 low and medium differential. We provided the company
3 four gas prices for each of the scenarios, the no CO₂,
4 the low, the mid, and the high, and the medium
5 differential on the low were below even our lowest gas
6 price. So I would agree that I would give little weight
7 to the no CO₂ case, very little weight, but I would also
8 give very little weight to the medium and low
9 differential gas price scenarios, which are outside of
10 our range.

11 MR. GROSS: Mr. Rose, I have no further
12 questions. Thank you.

13 CHAIRMAN EDGAR: Mr. Krasowski, do you have
14 questions?

15 MR. KRASOWSKI: Adhering to the no joke rule,
16 I'll say no.

17 CHAIRMAN EDGAR: Thank you. Are there
18 questions from staff?

19 MS. BRUBAKER: Staff has none.

20 COMMISSIONER CARTER: Commissioners? No.
21 Mr. Litchfield?

22 MR. LITCHFIELD: Very brief redirect.

23 REDIRECT EXAMINATION

24 BY MR. LITCHFIELD:

25 Q. Mr. Rose, Mr. Gross referred you to what has

1 been marked as Exhibit 196. Do you still have that in
2 front of you? I believe that was the excerpt from the
3 MIT study.

4 **A.** Yes, I do.

5 **Q.** And in particular, I think he referred you to
6 on Roman numeral page 10 the first full paragraph
7 immediately beneath what is in bold face font there.
8 The paragraph begins, "To explore this prospect," and I
9 think in particular, he referred you to a sentence
10 toward the bottom of that paragraph that begins, "In
11 characterizing the CO₂ emission price, we employ a, open
12 quote, high, close quote, price trajectory that starts
13 at \$25 per ton." Do you see that?

14 **A.** I do.

15 **Q.** Is it your understanding this was a forecast
16 developed by MIT or a scenario that they modeled or ran?

17 **A.** As I indicated to the Commission earlier in my
18 response, there was absolutely no basis in the report.
19 They just essentially picked the number as -- I don't
20 know. They just call it high. There's no basis,
21 there's no runs, there's no analysis underneath it.

22 And even -- in my testimony, I have reviewed
23 the model that MIT uses. I'm a graduate, so I have
24 nothing negative against the institution per se. But in
25 review of that model, it's not what I would consider a

1 model that is sufficiently detailed for the type of work
2 that we need to do here.

3 So even if they had used the model to try to
4 do the projection, I would have serious concerns. I
5 don't think it's detailed enough in terms of what would
6 be accepted for serious analysis. But that problem
7 aside, and that problem was mentioned in my testimony,
8 there's no basis at all. They simply picked that
9 number.

10 Q. All right. Mr. Gross also referred to you an
11 exhibit included in Mr. Schlissel's supplemental direct
12 testimony on page 6. And the figure is number 2
13 entitled "Comparison of FPL CO₂ Forecast to Synapse
14 Forecast." Do you see that?

15 A. Yes.

16 Q. And I believe he asked you to compare the FPL
17 medium trajectory to the Synapse medium trajectory. Do
18 you recall that?

19 A. I do.

20 Q. What's your understanding as to how Synapse
21 developed their mid case scenario?

22 A. They reviewed published studies, some of which
23 were out of date, some of which, in my view, as I
24 described in my testimony, use erroneous methodologies.
25 They take them, and then they decide how to --

1 MR. GROSS: I have an objection that this is
2 beyond the scope of cross.

3 MR. LITCHFIELD: Chairman Edgar, Mr. Gross I
4 think squarely put that mid forecast back in issue when
5 he asked Mr. Rose questions about it in asking him to
6 compare it to FPL's.

7 CHAIRMAN EDGAR: Mr. Gross.

8 MR. GROSS: This doesn't go to the comparison.

9 MR. LITCHFIELD: I think the witness is
10 entitled to suggest what deficiencies, if any, he might
11 have with the point of reference that Mr. Gross is
12 asking him to make.

13 CHAIRMAN EDGAR: I'm going to allow.

14 THE WITNESS: Let me --

15 BY MR. LITCHFIELD:

16 Q. Had you finished your answer? I'm sorry.

17 A. No, I haven't. Mr. Schlissel provided to us
18 the numbers, the dollars per ton from each of those
19 studies. And when I went and took a simple average of
20 them, the actual number was actually lower than what he
21 reported. So the difference between my forecast and his
22 collapsed by almost -- something on the order of 25 to
23 35 percent of the way. So part of his being above is
24 that he had no methodology for actually picking among
25 the numbers he had. I just took a simple average, and

1 that compressed the difference.

2 The second thing, as I was saying, is that he
3 has used out-of-date analyses from out-of-date bills.
4 We discussed last week that the McCain-Lieberman bill
5 that he had mentioned now has been transformed from
6 15 percent offsets to 30 percent offsets, which is a big
7 factor in terms of lowering the stringency of the
8 program and lowering the dollar per ton. When I take
9 those out from his spreadsheet, his number on an average
10 basis is only one or two dollars higher than mine.

11 So that comparison, not only were we
12 moderately close to begin with, if he had just done a
13 simple average of the numbers that he was using, it
14 would have been even closer. And if he had sort of
15 eliminated out-of-date studies, we would have been even
16 closer. So the idea that when we're looking at the mid
17 cases in terms of CO₂ -- unfortunately, he didn't
18 provide gas prices. But when we just look at CO₂, the
19 idea that the company's analysis is unreasonable or
20 implausible or imprudent I think is inconsistent with
21 the fact that a proper use of his own data would show
22 that the company and his numbers are fairly close.

23 Q. Let me ask you this question, Mr. Rose. Do
24 you have a copy of Exhibit 163 in front of you, or do
25 you recall -- this is Figure 1 from Mr. Schlissel's

1 testimony exactly as per his testimony, except shown in
2 color. Do you recall that exhibit?

3 **A.** Yes, I do.

4 **Q.** And do you -- you said you ran a simple
5 average of the data points there other than the ones
6 identified by blue and green that were outdated. Is
7 that what --

8 **MR. GROSS:** I'm going to object. Leading
9 question. This is redirect.

10 **MR. LITCHFIELD:** I can restate the question,
11 Madam Chair.

12 **CHAIRMAN EDGAR:** Please.

13 **MR. LITCHFIELD:** The witness has given an
14 answer, and I'm simply trying to clarify what he
15 intended to say with respect to this graph, so let me
16 ask it this way.

17 **BY MR. LITCHFIELD:**

18 **Q.** Could you explain the answer that you just
19 gave in the context of Exhibit 163, specifically
20 identifying for the Commission where the line
21 representing the simple average would fall on this
22 graph?

23 **A.** The line of the simple average, if you just
24 take an average of his own numbers, would have been
25 lower than where he shows. He goes 2010, 2020, 2030,

1 and he sort of connects those three dots. But if he had
2 taken the actual average, the numbers would have been
3 lower. And then as I indicated, if he had taken out the
4 old McCain-Lieberman bill and the analyses from 2003,
5 his numbers would have been lower and on average almost
6 identical to the ones that the company is using.

7 Q. Would that line have been lower or higher than
8 what appears on Mr. Schlissel's Figure 2 as representing
9 FPL's mid case?

10 A. Lower. And so ironically, if I can use the
11 word "ironically," the question was, you know, don't the
12 numbers sort of look close. You know, adjusted, they're
13 almost identical, which then -- the irony of it is, his
14 conclusion is that the company is being unreasonable in
15 using scenarios that are not sufficient or not
16 appropriate, and then when we actually look at the
17 numbers, they're very, very close. So that's part of
18 the irony of it.

19 MR. LITCHFIELD: That's all I have.

20 CHAIRMAN EDGAR: Okay. Exhibits. We have
21 147.

22 MR. GROSS: Madam Chair, I apologize for
23 interrupting your chain of thought, but I wanted to move
24 into evidence the excerpt of this MIT study that was
25 cited by Mr. Rose in his testimony.

1 CHAIRMAN EDGAR: This is what we marked as
2 196?

3 MR. GROSS: Yes.

4 CHAIRMAN EDGAR: Okay. We're going to get to
5 that in just a second. So 147 will go into the record.

6 (Exhibit Number 147 admitted the record.)

7 CHAIRMAN EDGAR: Then we had 194 put forth by
8 Mr. Beck. Any objections to 194? Seeing none, 194.

9 (Exhibit 194 admitted into the record.)

10 CHAIRMAN EDGAR: Ms. Brubaker, how do we
11 handle the confidential?

12 MS. BRUBAKER: Well, I leave that to Mr. Beck.
13 Do you need to introduce that into the record?

14 MR. BECK: Yes, please. I would like to move
15 it in.

16 MS. BRUBAKER: Then we move it into the
17 record, we provide the confidential copy to the court
18 reporter, and I believe it will also be appropriate to
19 go ahead and collect the red folders otherwise from the
20 parties to make sure they're secure.

21 CHAIRMAN EDGAR: Okay. So we will enter 195,
22 a confidential exhibit.

23 (Exhibit 195 admitted into the record.)

24 CHAIRMAN EDGAR: Did you have a question to
25 that, Mr. Guest?

1 MR. GUEST: Well, it seems like we should have
2 it until at least we get our proposed orders in.

3 CHAIRMAN EDGAR: I can't hear you.

4 MR. GUEST: Could we keep it until the
5 proposed order goes in?

6 CHAIRMAN EDGAR: I'm sorry. I'm just not --

7 MR. GUEST: Keep the exhibit until the
8 proposed order goes in.

9 CHAIRMAN EDGAR: Until the proposed order --
10 I'm sorry. I just didn't catch that.

11 MR. GUEST: I'm sorry. I was mumbling.

12 MS. BRUBAKER: That's inconsistent with our
13 procedures.

14 MR. GUEST: Should I memorize it? I do have a
15 good memory.

16 CHAIRMAN EDGAR: I suspect that you do,
17 actually.

18 Ms. Helton, I am going to need you to refresh
19 my memory on what our rules are regarding confidential
20 documents.

21 MS. HELTON: I think perhaps maybe the best
22 thing for Mr. Guest to do is to work out with Florida
23 Power & Light, who I believe is the owner of the
24 information, a way in which he can get a copy that he
25 can keep during the pendency of the proceeding.

1 MR. LITCHFIELD: The information actually is
2 owned by ICF. We would be happy to discuss that with
3 ICF sometime offline and get back with Mr. Guest to see
4 whether suitable arrangements could be made. But in the
5 meantime, I think I would request that the procedures be
6 followed.

7 CHAIRMAN EDGAR: And I think I have to go that
8 way as well, Mr. Guest. Apologies if there's an
9 inconvenience, but the rules are clear. Thank you,
10 Ms. Helton.

11 So, Mr. Beck, we'll finish with these, and
12 then I will ask you to collect, if that's all right. So
13 with the understanding that 195 is confidential, it will
14 be collected here in a few moments, and Mr. Guest and
15 Mr. Litchfield will speak after the proceeding about if
16 there is a way to accommodate Mr. Guest's need to have
17 use of that information.

18 We will move then to 196. Mr. Gross, any
19 objection?

20 MR. LITCHFIELD: Actually, I would just prefer
21 that -- if we could defer this also till Monday morning
22 to give us an opportunity to review the study. We might
23 ask to have the entire document submitted, or we may
24 not, if that would be acceptable.

25 MR. GROSS: We would have no objection to the

1 entire document.

2 CHAIRMAN EDGAR: Mr. Litchfield, do you want
3 to go with that, or do you prefer to wait?

4 MR. LITCHFIELD: If we could take that up
5 first thing Monday morning.

6 CHAIRMAN EDGAR: All right.

7 MR. LITCHFIELD: Thanks.

8 CHAIRMAN EDGAR: We'll have a couple of items,
9 I'm sure, to take up Monday morning, and we will add
10 this one to the list, Ms. Brubaker, if you'll help me
11 remember that.

12 And then Ms. Brubaker pointed out that I had
13 missed a couple of exhibits earlier when we were going
14 through and trying to clean up, so let me get there.

15 Okay. 126 through 129, which were the
16 exhibits originally submitted as part of Mr. Schlissel's
17 direct testimony. Seeing no objection, we will go ahead
18 and add 126, 127, 128, and 129 to the record.

19 (Exhibits 126 through 129 admitted the
20 record.)

21 CHAIRMAN EDGAR: And I'm sorry, Mr. Rose. I
22 didn't mean to make you necessarily keep sitting there.
23 So, Mr. Beck, if you would be sure to get that red
24 folder as well. Thank you, Mr. Rose. I hope you will
25 make your plane.

1 THE WITNESS: Thank you very much.

2 CHAIRMAN EDGAR: Okay. I think we're about to
3 call it a day. Any other matters that would be helpful
4 for us to discuss before we do?

5 MR. KRASOWSKI: Madam Chair.

6 CHAIRMAN EDGAR: Mr. Litchfield. Excuse me.
7 Yes, Mr. Krasowski.

8 MR. KRASOWSKI: If I could have a minute.

9 CHAIRMAN EDGAR: You may.

10 MR. KRASOWSKI: Thank you. Through the
11 proceedings and introductions over the last few days,
12 the environmental justice people have been identifying
13 themselves as representing the intervenors and the
14 environmental intervenors -- Earthjustice, I'm sorry,
15 Earthjustice group.

16 And I would like to make the point that there
17 are other intervenors here, and I think there should be
18 some accommodation for them to distinguish themselves
19 from other people. We are environmental intervenors, to
20 the extent that's appropriate in this setting, as well
21 as they are. Maybe they could be called the big
22 environmental intervenors and we could be the little
23 environmental intervenors. But to say they're the
24 intervenors also leaves out the Office of Public Counsel
25 and the distinguished representative from the AIF.

1 Earlier today there was a suggestion that this
2 group had been telling the FPL people that they were
3 feeding me questions. Now, there was a conversation
4 where it was suggested that maybe I could ask something
5 or the other, but I was sensitive to that and didn't
6 want any association or at any point in time anybody
7 from any of those groups to say that we were an
8 appendage to them.

9 And since we have been accepted by the
10 Commission and allowed to participate and recognized,
11 we're very sensitive to the fact that we put a lot of
12 time and effort and energy into representing our
13 specific points and making our own questions and asking
14 the questions. So I'm very sensitive to that and think
15 we deserve an apology if that's actually what happened.
16 If it was suggested to FP&L that they're writing our
17 questions, and then they're over here trying to secretly
18 get me to ask questions, it's just pretty sleazy.

19 Also, though, aside from those comments, I
20 would ask that FP&L, if FP&L has any question about
21 anything, witnesses or schedules or anything like that,
22 that they come directly to us so there's no concern.
23 We've been open with them in talking with them, their
24 people. We've talked with everyone. We would like to
25 keep that going, but not have any confusion about who

1 represents us and what we're agreeing with or not
2 agreeing with.

3 So thank you for the minute and 20 seconds.

4 CHAIRMAN EDGAR: You're welcome. And I
5 appreciate your comments very much, and they are on the
6 record, and they are noted. And I'll also add that the
7 Commission recognizes your independence and also the
8 work that you've put in to be prepared and to be a very
9 useful participant, and we appreciate it.

10 MR. KRASOWSKI: Thank you.

11 CHAIRMAN EDGAR: Okay. Any other matters?
12 Ms. Brubaker, before we go, hang on just a minute.

13 MS. BRUBAKER: Just a suggestion to the
14 parties. We're resuming Monday. I would ask that all
15 parties look at the briefing schedule and the
16 posthearing schedule as it was currently scheduled, and
17 let's look at the time that is going to be available to
18 us now. I am open to discussion or any questions about
19 the briefing schedule, but I would ask that we all be
20 prepared to address on Monday, anticipating that that
21 will be the conclusion of the hearing, what the briefing
22 schedule will be. And any other posthearing matters of
23 that nature please be prepared to discuss on Monday.

24 MR. LITCHFIELD: Madam Chairman, I might even
25 suggest that we could take it up now, but at a minimum,

1 I think I would suggest that in light of the schedule
2 constraints, that parties, if they haven't already been
3 working on the brief, they should be working on it this
4 weekend, because I anticipate that we will need a fairly
5 quick turn on the briefs.

6 MS. BRUBAKER: That's correct. And I would
7 note that the court reporters have been making a
8 Herculean effort to get the transcripts out daily. They
9 are available. I have already started actually
10 reviewing the transcripts myself. So everybody please
11 be mindful, we are all on a short time. I know the
12 parties are under the gun. The staff is also under the
13 gun. The Commission will need sufficient time to review
14 whatever recommendation staff puts forward, so everyone,
15 let's all cooperate. And again, if you have any
16 questions or need feedback from staff, we are happy to
17 provide that.

18 MR. LITCHFIELD: One question, though, with
19 respect to the brief that if we could resolve it today
20 would be helpful, and that is the page limit, which I
21 think in the Prehearing Order was established at 40
22 pages, which seems a little light under the
23 circumstances, and we would respectfully request that
24 that be augmented to 80 pages.

25 CHAIRMAN EDGAR: That would be doubled rather

1 than just augmented. Mr. Guest.

2 MR. GUEST: Well, it was once said that I
3 wanted to write you a short letter, but I didn't have
4 time. And I think that goes to briefs too, that it
5 requires more energy to write succinctly, and it's more
6 useful to write a short brief than a long brief for you
7 guys and for us too. It requires more self-discipline,
8 and I think it's a valuable exercise to put a case like
9 this into 40 pages.

10 MR. LITCHFIELD: I'm sorry. Mr. Guest is
11 suggesting that we hold it to 40?

12 CHAIRMAN EDGAR: Yes, he is.

13 MR. LITCHFIELD: Well, he's free to write 40.
14 We're asking for the opportunity to take a little more.
15 We've got more issues to address, obviously, as a
16 company.

17 CHAIRMAN EDGAR: Ms. Brubaker.

18 MS. BRUBAKER: It's true that the page limit
19 was not raised at the prehearing conference. I think
20 the Commission does have the discretion to extend that
21 at this time if they wish to do so.

22 For frame of reference, Taylor County, Docket
23 060635-EU, 80 pages was allowed, I believe. In that
24 case, you also have to look that there were actually
25 four applicants that were being looked at, but then

1 again, in this case, we're looking at two units versus
2 one. So an accommodation would be perhaps 60 pages.
3 Eighty pages does not offend my sensibilities. As
4 always in these circumstances, I merely say that brevity
5 is the soul of wit, and I would expect all parties to --

6 CHAIRMAN EDGAR: I would also note that
7 extending the page limit does not mean that every inch
8 of that page limit is required to be used. And I echo
9 Mr. Guest's comments. We are in agreement on this,
10 Mr. Guest, that brevity and concise writing is often the
11 most effective and useful. So with that, I will grant
12 that extension of the page limit, with the again
13 unnecessary reiteration that that does not mean you have
14 to use all of those 80 pages.

15 Okay. Should we talk about dates? I'm
16 shuffling paper, because I know we had penciled in some
17 potential, and I'm having a hard time putting my hands
18 on it. Do you have those, Jennifer?

19 MS. BRUBAKER: I do.

20 CHAIRMAN EDGAR: Okay. Why don't you lay out
21 a suggestion?

22 MS. BRUBAKER: This is what I would suggest.
23 We're looking at concluding the hearing on next Monday,
24 which is April 30th. My proposal would be to have
25 briefs filed on May 7th, which would be that next

1 Monday. That would permit a full weekend for parties to
2 complete work on their briefs. Nobody likes working on
3 the weekends, but certainly staff expects to be doing
4 plenty of that in the context of the case, and we're
5 happy to share the pain on that point.

6 The agenda that's currently scheduled for the
7 posthearing recommendation is June 5th. There are some
8 statutory dates which we are aware of that would make
9 that currently the most logical and available agenda for
10 us to take up the posthearing recommendation. That
11 would have staff filing the recommendation, posthearing
12 recommendation on May 23rd. That is a Wednesday, I
13 would note, because there is a Monday holiday following
14 on the 28th.

15 I think that having the briefs filed on the
16 7th will probably afford staff sufficient time to file
17 on the 23rd, but I would ask as an accommodation to have
18 two extra days just in case it's needed for staff to
19 file the recommendation on the 25th of May.

20 MR. LITCHFIELD: That's acceptable to FPL.

21 MR. GROSS: Madam Chair, I am going to be sort
22 of out of commission for two days during this period
23 between the two Mondays for some minor, very minor
24 surgery, which I've postponed throughout this because of
25 this proceeding. So I would ask that the briefs not be

1 due till May 9th so I could have the full benefit of
2 that week.

3 MS. BRUBAKER: With all due consideration to
4 Mr. Gross's concerns, I have some concerns about putting
5 the briefs off that far.

6 CHAIRMAN EDGAR: I do as well, just realizing
7 we don't have any flexibility on the back end, that I'm
8 aware of anyway. So, Mr. Gross, I guess what I will do
9 is -- we've laid out these dates as what we're looking
10 at, which was the briefs due May 7th, the staff rec due
11 May 25th. You know, let's see where we are on Monday.
12 Okay?

13 MR. LITCHFIELD: Madam Chair, I would express
14 appreciation on behalf of FPL and Mr. Rose for the
15 accommodation to take him up today on the part of the
16 Commission and the other parties. We very much
17 appreciate it.

18 CHAIRMAN EDGAR: I'm glad it worked out,
19 hopefully, for most people's travel schedule to the best
20 that we can try to make it all work out.

21 Okay. Thank you all once again for your work
22 and for your patience. We will see you Monday at 9:30.
23 We are adjourned.

24 (Proceedings recessed at 5:34 p.m.)

25 (Transcript follows in sequence in Volume 11.)

CERTIFICATE OF REPORTER

STATE OF FLORIDA:

COUNTY OF LEON:

I, MARY ALLEN NEEL, Registered Professional Reporter, do hereby certify that the foregoing proceedings were taken before me at the time and place therein designated; that my shorthand notes were thereafter translated under my supervision; and the foregoing pages numbered 1385 through 1624 are a true and correct record of the aforesaid proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor relative or employee of such attorney or counsel, or financially interested in the foregoing action.

DATED THIS 27th day of April, 2007.


MARY ALLEN NEEL, RPR, FPR
2894-A Remington Green Lane
Tallahassee, Florida 32308
(850) 878-2221