


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. 090501-TP

PETITION FOR ARBITRATION OF
CERTAIN TERMS AND CONDITIONS OF
AN INTERCONNECTION AGREEMENT
WITH VERIZON FLORIDA LLC BY
BRIGHT HOUSE NETWORKS INFORMATION
SERVICES (FLORIDA), LLC.



VOLUME 1

Pages 1 through 321

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

PROCEEDINGS: HEARING

COMMISSIONERS
PARTICIPATING: CHAIRMAN NANCY ARGENZIANO
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER NATHAN A. SKOP
COMMISSIONER DAVID E. KLEMENT
COMMISSIONER BEN A. "STEVE" STEVENS, III

DATE: Tuesday, May 25, 2010

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR, CRR
Official FPSC Reporter
(850) 413-6734

DOCUMENT NUMBER-DATE
04839 JUN 15 5 11 AM '10
FPSC-COMMISSIONER

1 APPEARANCES:

2 BETH KEATING, ESQUIRE, Akerman Senterfitt, 106
3 East College Avenue, Suite 1200, Tallahassee, Florida
4 32301, appearing on behalf of Bright House Networks
5 Information Services (Florida), LLC.

6 CHRISTOPHER W. SAVAGE, ESQUIRE, and DANIELLE
7 FRAPPIER, ESQUIRE, Davis Wright Tremaine, LLP, 1919
8 Pennsylvania Avenue NW, Suite 200, Washington, DC 20006,
9 appearing on behalf of Bright House Networks Information
10 Services (Florida), LLC.

11 DULANEY L. O'ROARK, III, ESQUIRE, Post Office
12 Box 110, 37th Floor, MC FLTC0007, Tampa, Florida
13 33601-0110, and DAVID L. HAGA, ESQUIRE, 1320 North
14 Courthouse Road, 9th Floor, Arlington, Virginia 22201,
15 appearing on behalf of Verizon Florida LLC.

16 TIMISHA J. BROOKS, ESQUIRE and CHARLES W.
17 MURPHY, ESQUIRE, FPSC General Counsel's Office, 2540
18 Shumard Oak Boulevard, Tallahassee, Florida 32399-0850,
19 appearing on behalf of the Florida Public Service
20 Commission Staff.

21 CURT KISER, GENERAL COUNSEL, and MARY ANNE
22 HELTON, DEPUTY GENERAL COUNSEL, FPSC General Counsel's
23 Office, 2540 Shumard Oak Boulevard, Tallahassee, Florida
24 32399-0850, appearing as advisors to the Commission.
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

OPENING REMARKS:	PAGE:
MR. SAVAGE	7
MR. O'ROARK	14

WITNESSES

NAME:	PAGE:
TIMOTHY J. GATES	
Direct Examination by Mr. Savage	27
Prefiled Direct Testimony Inserted	32
Prefiled Rebuttal Testimony Inserted	185
Cross Examination by Mr. Haga	294

CERTIFICATE OF REPORTER	321
-------------------------	-----

EXHIBITS

	NUMBER:	ID.	ADMTD.
1			
2			
3	1 Comprehensive Exhibit List	7	7
4	2 STIP-2	7	7
5	3 STIP-3	7	7
6	4 STIP-4	7	7
7	5 STIP-5	7	7
8	6 STIP-6 (Confidential)	7	7
9	7 STIP-7 (Confidential)	7	7
10	8 STIP-8 (Confidential)	7	7
11	9 STIP-9	7	7
12	10 STIP-10	7	7
13	11 STIP-11	7	7
14	12 STIP-12	7	7
15	13 STIP-13	7	7
16	14 STIP-14	7	7
17	15 TJG-1	29	
18	16 TJG-2	29	
19	17 TJG-3	29	
20	18 TJG-4	29	
21	19 TJG-5	29	
22	20 TJG-6	29	
23	21 TJG-7	29	
24	22 Demonstrative Exhibit (Chart)	26	
25			

P R O C E E D I N G S

1
2 **CHAIRMAN ARGENZIANO:** Okay. We'll convene our
3 hearing. Good morning. If staff would read the notice.
4 And first let me say I believe Commissioner Skop is
5 going to be a little late, so we're just going to start
6 without him and he'll have to catch up.

7 Staff, good morning.

8 **MS. BROOKS:** Good morning, Commissioners.
9 Pursuant to notice filed on April 14th, 2010, this time
10 and place has been set for a hearing in Docket Number
11 090501-TP, which concerns Bright House Network's
12 Information Services Florida, LLC's petition to
13 arbitrate terms and conditions of an interconnection
14 agreement with Verizon Florida LLC.

15 **CHAIRMAN ARGENZIANO:** Thank you. And we'll
16 take appearances. Good morning.

17 **MR. O'ROARK:** Good morning, Madam Chairman,
18 Commissioners. I'm D. O'Roark with Verizon, and with me
19 as co-counsel today is David Haga.

20 **MR. SAVAGE:** Good morning, Chairman and
21 Commissioners. My name is Chris Savage. I'm with the
22 law firm of Davis Wright Tremaine representing Bright
23 House Networks Information Services, LLC. With me is my
24 associate, Danielle Frappier. And we are ably assisted
25 by Beth Keating, who is with Akerman Senterfitt, has

1 been working with us as well.

2 **CHAIRMAN ARGENZIANO:** Good morning.

3 Staff?

4 **MS. BROOKS:** Timisha Brooks and Charlie Murphy
5 on behalf of Commission staff.

6 **MS. HELTON:** And Mary Anne Helton, Advisor to
7 the Commission. And also advising you today is the
8 General Counsel, Curt Kiser.

9 **CHAIRMAN ARGENZIANO:** Good morning.

10 Okay. Stipulated procedures regarding the
11 exhibits.

12 **MS. BROOKS:** Madam Chair, staff has compiled a
13 list of discovery exhibits that we believe can be
14 entered into the record by stipulation. In an effort to
15 facilitate the entry of those exhibits, we've compiled a
16 chart that we've provided to the parties, the
17 Commissioners and the court reporter. I would suggest
18 that this list itself be marked as the first hearing
19 exhibit and that the discovery exhibits be marked
20 thereafter in sequential order as set forth in the
21 chart. Excuse me.

22 **CHAIRMAN ARGENZIANO:** So we're moving into the
23 record Exhibits 1 through 14?

24 **MS. BROOKS:** Yes. Staff requests moving into
25 the record Exhibits 1 through 14.

1 **COMMISSIONER STEVENS:** So moved.

2 (Exhibits 1 through 14 marked for
3 identification and admitted into the record.)

4 **CHAIRMAN ARGENZIANO:** Okay. We'll go to
5 opening statements, and each party is permitted ten
6 minutes.

7 **MS. BROOKS:** Madam Chair, staff has one more
8 preliminary matter.

9 **CHAIRMAN ARGENZIANO:** Oh, I'm sorry. Go right
10 ahead.

11 **MS. BROOKS:** Issue Number 16 has been
12 resolved.

13 **CHAIRMAN ARGENZIANO:** Okay. That's always
14 nice to hear. Okay. That's 16? Timisha, did you say
15 16?

16 **MS. BROOKS:** Yes.

17 **CHAIRMAN ARGENZIANO:** Okay. Thank you. Okay.
18 I think we're ready to move into opening remarks. Yes.
19 Go right ahead. I'm sorry.

20 **MR. SAVAGE:** Good morning again, Chairman and
21 Commissioners. My name is Chris Savage, and I'll be
22 trying to do a brief opening for Bright House.

23 I've been trying to think what's the best
24 analogy of what this case is like and I came up with the
25 following. I think we've all had the experience of

1 going and buying a new car; right? And you buy a new
2 car and it's been a while and it's great. You know,
3 it's got the better steering and the GPS and the better
4 sound system and it's tremendous, and you drive it and
5 you build it into your life and that's wonderful.

6 That's kind of where we were back in 1995 and
7 1996 when the Florida Legislature and then the Federal
8 Legislature changed the rules and enabled and encouraged
9 competition in the telephone business. And it was
10 great. You know, I had a full head of hair back then.
11 But, you know, we were, we were actually doing new and
12 exciting and tremendous things, changing the way this
13 whole industry works, and in a way we still are. But,
14 you know, it's like when you have a new car and you
15 drive it for a while and you drive it for a while, you
16 know, it's hard to start and maybe shimmies a little bit
17 when you're driving along, and what you find is even the
18 greatest new car needs maintenance and needs a tuneup.
19 You've got to change the oil, you've got to rotate the
20 tires, maybe if you've been driving on bumpy roads,
21 you've got to fix something in the suspension. And
22 that's what's going on in this case.

23 Yes, we are kind of, sort of breaking new
24 ground on a couple of things and we'll get to that, but
25 fundamentally competition in Tampa, Florida, the Tampa

1 area where we operate is working okay. You know, we've
2 got hundreds of thousands of customers, Verizon has
3 hundreds of thousands of customers, still more, but, you
4 know, it's working but it's not working perfectly. And
5 the interconnection agreement that we're operating under
6 today was actually originally entered into in 1997, and
7 we adopted it and we've operated under it for a while,
8 but it's time to tune up a few things.

9 Now at a high level here are the things that
10 we understand need to be tuned up. And before I get
11 into the details, let me just say on the record that it
12 may have taken us a little while to get to where we are,
13 but I'd like to compliment someone who is not here,
14 which is Verizon's negotiator, Mr. Bill Carnell. He and
15 I have worked very closely over the last six months,
16 seven months, sort of grinding out the issues. And, you
17 know, when we filed, we had 60 or 70 things in
18 contention and now we're down to about a dozen. And
19 obviously we have some real disagreements, but, as I
20 say, I think the negotiation process has worked well.
21 And we're hopeful before the briefing is done that we
22 can get you some more off the table.

23 But that said, what's on the table? What
24 we've got here is a way of competing that is not exactly
25 what everybody had in mind back in '96 when they wrote

1 this law. People are excited about it, it's working.
2 But what that means is there are a few issues in this
3 case where you've got to take the basic principles that
4 were established in '96 and '97 in FCC decisions and
5 court cases and apply them to a slightly different
6 picture, a slightly different way of doing the
7 competitive process than may have existed before.

8 So, you know, one of the things you're going
9 to hear about in the briefing is whether or not if
10 Bright House buys facilities from its network to a point
11 of interconnection with Verizon, are those facilities
12 priced at their tariff rates, which are relatively high,
13 or at a standard called the TELRIC standard, which is
14 relatively low? Well, we buy them and we like them to
15 be at the lower standard and we think we're right about
16 that. But the facilities that are in question as
17 between us aren't the ones that, you know, MCI and
18 Verizon fought about back in '98 and '99. It's a
19 slightly different network configuration.

20 Or to give another example, we don't really
21 buy anything from Verizon to resale, although there's a
22 small resale issue in this case. We don't buy piece
23 parts of their network. We have our own network. And
24 so the competitive flashpoint between us isn't whether
25 they'll sell us an unbundled loop or whether they'll do

1 this or that. The competitive flashpoint between us
2 always has to do with a process by which a customer
3 moves from one carrier to the other.

4 And so over the years, if you go back into
5 your own records you'll find we've been here when
6 they -- we were mad at them for delaying their, their
7 porting of numbers. We were mad at them for charging us
8 for directory listings when a customer transferred when
9 we thought they shouldn't. We were mad at them because
10 when a customer was transferring, they would do
11 marketing to that customer they shouldn't do. The
12 issues are very much focused on what happens when one of
13 us wins a customer and the other one loses a customer.
14 And there's a whole issue in this case where we believe
15 that needs to be very carefully laid out in the
16 contract, and for various reasons Verizon seems not to
17 think so.

18 But those are problems that are different than
19 the problems that the old style CLECs had. And so again
20 that's kind of, you know, the point. It's not, it's not
21 that we're asking you to declare a new principle of law,
22 but we are asking you in a couple of cases to look at
23 the way competition has actually developed and apply the
24 old principle of law to the new situation.

25 So what are the issues in dispute? At a very

1 high level they are as follows. We've got a couple
2 of -- an issue about a very technical contract issue you
3 may not even hear about until the briefs. We've got a
4 fundamental contract issue where as we read Verizon's
5 proposed language, this is Issue Number 7, as we read
6 Verizon's language, they want to assert the right to
7 walk away from this contract any time they want. We
8 don't think that's right. They have a different take on
9 it, but that's what it looks like to us and we're very,
10 very concerned about that.

11 On the technical side we have a dispute about
12 when and whether we would be entitled to interconnect
13 our networks at a very high data rate as compared to the
14 lower data rate that Verizon seems to prefer. We have
15 an issue about pricing -- this tariff versus TELRIC
16 pricing I had already mentioned.

17 We have an issue about -- well, it's a very
18 technical issue about a resale matter that we'll get to
19 in the briefing and probably in the hearing. And then
20 probably the most immediate and direct impact on
21 consumers, we have an issue about how you define what
22 traffic we exchange is essentially rated as local and
23 therefore exchanged at a relatively low rate versus
24 rated as a toll call and therefore exchanged at a
25 relatively high rate.

1 We have a proposal that we believe is
2 consistent with the most recent FCC decisions relating
3 to this topic, but this is a little different than the
4 way Verizon has traditionally done it, and they
5 obviously don't, don't like that. We believe that our
6 proposal, which would lower the rate that a carrier pays
7 to its competitor if they don't charge their end users a
8 toll, actually will have the effect of encouraging both
9 carriers to offer broader and better local calling areas
10 to all consumers in their service area. So all of this
11 is going to be briefed, we're going to talk about it in
12 great detail.

13 Our case is going to be put on by two
14 witnesses. Our first witness is going to be Mr. Tim
15 Gates. Mr. Gates has been a member of the telecom
16 industry since 1982 when he started working, I believe,
17 for the Oregon Public Utilities Commission, a long and
18 distinguished career. He now lives and works in Tampa,
19 Florida. And so in addition to his vast experience, he
20 sees first-hand every day the competition between
21 Verizon and Bright House.

22 Our other witness will be Ms. Marva Johnson,
23 who is a Vice President at Bright House. She had been
24 in other CLECs earlier in her career, works now --
25 worked for Bright House the CLEC for a certain number of

1 years, and has now been promoted to the parent company,
2 although she retains responsibility for the industry
3 relations and has been intimately involved in working
4 with us in this case.

5 So that's, that's pretty much it. Again, it's
6 not -- we're not asking you to remake the world.
7 Competition is there, it's happening, but it does need
8 to be tuned up in a few ways that we're going to talk
9 about today and then much more extensively in the
10 briefs. Thank you.

11 **CHAIRMAN ARGENZIANO:** Thank you.

12 Mr. O'Roark.

13 **MR. O'ROARK:** Madam Chairman, Commissioners,
14 again, good morning.

15 **CHAIRMAN ARGENZIANO:** Good morning.

16 **MR. O'ROARK:** This arbitration shows how much
17 change there has been in the Florida market in the last
18 several years. This is not like the typical case that
19 you would have seen a few years back between an ILEC and
20 a small CLEC that was trying to gain a foothold in the
21 market.

22 In this case, Bright House is a major player
23 in Central Florida that has hundreds of thousands of
24 residential VoIP telephone customers. As I believe
25 Mr. Savage just said, Bright House provides service

1 using its own facilities. So the main reason that it
2 needs an interconnection agreement with Verizon is to
3 set up the interconnection arrangements so our customers
4 can call each other. That ought to be -- you need
5 the -- if the networks don't interconnect, if I'm a
6 Bright House customer and I want to call a Verizon
7 customer, I can't do it. There's no way to get there.
8 This interconnection agreement will enable that to
9 happen, and as it has been happening for the last
10 several years. That should be a pretty straightforward
11 proposition. But Bright House is attempting to use this
12 proceeding to gain unfair competitive advantages, to
13 shift its costs to Verizon, and to win arbitrage
14 opportunities.

15 Madam Chairman, with your permission, I'm
16 going to approach the diagram over there. And I tell
17 you what I'll do; I've made some extra copies. I know
18 that the diagram is a little ways away from you. Just
19 in case you have trouble seeing it, you'll have
20 something in front of you.

21 **CHAIRMAN ARGENZIANO:** That, that would be
22 great. Thank you.

23 **MR. O'ROARK:** Now as you're looking at the
24 diagram, you'll see at the bottom left something marked
25 BH Cable or, in other words, Bright House Cable. That

1 is the company that provides retail service to VoIP
2 telephone customers, broadband customers and, of course,
3 cable customers. Those customers are shown in the cloud
4 at the bottom.

5 Bright House Cable is not a party to this
6 case. It is not regulated by the Commission. Its
7 telephone traffic is handled by Bright House Networks,
8 the CLEC, which is shown in the rectangle here. The
9 CLEC handles only traffic that either is coming from or
10 going to Bright House customers.

11 Now what this diagram is intended to do is to
12 kind of walk you through how Bright House interconnects
13 with interexchange carriers shown as IXCs here. In
14 other words, long distance companies.

15 Now the first thing that you'll notice is that
16 the CLEC has direct interconnection with some IXCs so
17 that in some cases if you're a Bright House customer,
18 you pick up the phone, make a call, that call never
19 touches Verizon's network. It goes straight to the IXC
20 and then on to Dallas or wherever it's going.

21 In other instances, Bright House establishes
22 an indirect interconnection with IXCs, and one of the
23 ways that Bright House can do that is through Verizon's
24 tandems. So if you take a call, say, that is coming
25 from Dallas and it's going to come through one of those

1 IXC's with which Bright House has established indirect
2 interconnection, this kind of shows the call flow of
3 that call coming from Dallas to a Bright House customer
4 in Tampa. So you'll see that the call would come in
5 from that IXC and it goes to one of two tandem switches
6 located in Verizon's tandem office in Tampa.

7 From there, that call from Dallas goes to
8 Bright House, and it can go there through one of three
9 ways. Because you'll see that Bright House has
10 established three collocations in Verizon offices. One
11 of them right there at the tandem, two of them at other
12 Verizon end offices. Verizon has about 85 end offices.
13 These are just two of them. And you'll see that you've
14 got the lines from the switches to the collocations are
15 in the little bit heavier, heavier arrows there. Those
16 are what are known as access toll connecting trunks, and
17 we're going to be talking about those today because
18 those are in dispute.

19 You'll see from the tandem to the, from the
20 tandem switch to the collocation, there's short arrows.
21 Really those are just cross-connects, relatively
22 inexpensive. The bigger issue here are the access toll
23 connecting trunks that go from the tandem switch to the
24 end of office collocations going some distance. Today,
25 Bright House buys those facilities out of the Verizon

1 access tariff.

2 Once that call makes it to the collocation, it
3 is then routed on to Bright House's fiber ring. The
4 fiber ring connects the collocations to each other and
5 the collocations to the Bright House switch with the
6 Bright House CLEC. And then the call goes from the CLEC
7 to Bright House Cable and then down to the end user
8 customers. That's how that call flows. I go through
9 that with you to try to give you the picture of the
10 traffic that, relating to a couple of the issues in this
11 case.

12 One of those issues that Mr. Savage referred
13 to as Issue 24, Issue 24 concerns whether Verizon was
14 providing facilities from Bright House's network to the
15 point of interconnection at TELRIC. And TELRIC is a
16 rate that is lower than the rates that are in our access
17 tariffs.

18 The point of interconnection is the place
19 where our networks physically link. So looking at the
20 diagram, the points of interconnection that we've
21 established are the offices where the three collocations
22 are. That's where the traffic is, is handled.

23 In Bright House's direct testimony, Bright
24 House said, you know, for the current interconnection
25 configuration Issue 24 is resolved. And that makes

1 sense because if you look at it, from the Bright House
2 network to each of the collocations, to the offices
3 where Bright House is collocated, Bright House already
4 has facilities. It doesn't need Verizon facilities.

5 In its rebuttal testimony, Bright House came
6 up with a new theory. The theory was that Bright House
7 should be able to connect those end office collocations
8 to our tandems. Again, we're going back to those heavy
9 arrowed lines. Those are the access toll connecting
10 trunks that Bright House is buying out of our tariff
11 today. It now says in its rebuttal testimony, you know
12 what, we should get those at TELRIC. And we disagree,
13 no surprise.

14 Bright House uses the access toll connecting
15 trunks exclusively for IXC traffic, it is using those
16 trunks to establish an indirect connection with IXCs.
17 This is not traffic that is being exchanged between
18 Bright House customers and Verizon customers. These
19 facilities have always been tariffed, they have never
20 been priced at TELRIC by the FCC, by this Commission or,
21 to our knowledge, by anyone else. And as a practical
22 matter, Bright House has an easy way out here because
23 you'll see that Bright House has a collocation at the
24 tandem office. And so if it wants, it could route all
25 this traffic through the cross-connect going to, to that

1 office and it wouldn't have to route any of the traffic
2 over the access toll connecting trunks going to the end
3 office.

4 One other issue I want to touch on briefly,
5 and that's Issue 36B. It's yet another theory about
6 access toll connecting trunks. Under this theory,
7 Bright House says it shouldn't have to pay for them at
8 all. The issue involves something called the meet
9 point. The meet point is the point where local carriers
10 that are jointly providing switched access service hand
11 off traffic to one another. The meet point is a term
12 that predates the Telecom Act and it arises out of the
13 access regime. The meet point is different than the
14 point of interconnection. The point of interconnection
15 again is the point where the networks physically link
16 and exchange traffic.

17 Under the parties' current arrangement, by
18 agreement the meet point is at the tandem switch ports.
19 And so what happens is the IXC traffic comes in, Verizon
20 switches it at its tandem, and Verizon bills the IXC for
21 performing that function. Verizon hands the traffic off
22 to Bright House, Bright House then transports the
23 traffic, switches it and terminates it, and Bright House
24 bills the IXC itself for that traffic.

25 What Bright House is asking the Commission to

1 sanction is another new, unprecedented theory that would
2 enable Bright House to force Verizon to move the meet
3 point down to the end office collocations.

4 **CHAIRMAN ARGENZIANO:** Mr. O'Roark, you're out
5 of time.

6 **MR. O'ROARK:** Okay. Thank you.

7 **CHAIRMAN ARGENZIANO:** Mr. Savage.

8 **MR. SAVAGE:** Yeah. I have, it's a procedural
9 question. I'm not sure what the evidentiary status of
10 this thing is. I mean, we had not seen this before
11 today. I didn't want to interrupt Mr. O'Roark's
12 presentation. Listening to his discussion and
13 conferring with my witness, I mean, there's some
14 technical issues. We would have objected to this had it
15 been presented as a demonstrative, as a demonstrative
16 exhibit in advance, or at least wanted some
17 clarification. And I'm wondering if -- I mean, I could
18 either mention a few things or have my witness talk to
19 it, but since we hadn't seen this before, I'm a
20 little --

21 **CHAIRMAN ARGENZIANO:** Okay. Let me ask staff,
22 can we --

23 **MS. HELTON:** I took it as a demonstrative
24 exhibit. But I do think, and I haven't checked the
25 prehearing -- or Order Establishing Procedure lately,

1 but I think it requests parties who are going to use a
2 demonstrative exhibit to seek permission from the
3 Commission beforehand.

4 If, Madam Chairman, if you can give me a
5 minute, I'll pull an Order Establishing Procedure.

6 **CHAIRMAN ARGENZIANO:** Absolutely. We'll take
7 a minute or two.

8 (Pause.)

9 **COMMISSIONER SKOP:** Ms. Helton, it's on Page 6
10 on Subsection E.

11 **MS. HELTON:** Thank you, Commissioner. I came
12 down here realizing -- or just realized I don't have
13 one. May I borrow that from you for a minute?

14 **COMMISSIONER SKOP:** You may.

15 (Pause.)

16 **MS. HELTON:** Commissioner Skop is correct.
17 On Page 6 of the Order Establishing Procedure, in
18 Section E, it says that, "If a party wishes to use a
19 demonstrative exhibit or other demonstrative tools at
20 hearing, such materials must be identified by the time
21 of the Prehearing Conference." And I don't --

22 **MR. O'ROARK:** Madam Chairman, I apologize. I
23 did not realize that requirement was there. I did not
24 identify this exhibit at the Prehearing Conference.

25 **CHAIRMAN ARGENZIANO:** Okay.

1 **MR. O'ROARK:** And I'm willing to -- whatever
2 is appropriate to remedy that, we will certainly do.

3 **MS. HELTON:** Well, if --

4 **MR. SAVAGE:** Your Honor, if I may, I don't
5 have any -- I mean, I think it's convenient to have a
6 chart. I don't have any objection to it in general.

7 **CHAIRMAN ARGENZIANO:** You just want to make
8 some points.

9 **MR. SAVAGE:** Yeah. I'd like to address a
10 couple of things about it and then perhaps have my
11 witness be able to discuss it as well.

12 **MS. HELTON:** That seems to be appropriate,
13 Madam Chairman, if that meets your will.

14 **CHAIRMAN ARGENZIANO:** Okay. Commissioners,
15 any problems with doing so?

16 Mr. Savage, go right ahead.

17 **MR. SAVAGE:** If I can make this work. It's
18 already on? Wow, great.

19 Just a few points that, I mean, we can get
20 testimony on, at sort of a high level this is right, but
21 obviously the devil is in the details as it relates to a
22 few of these things.

23 The first is the dark lines -- and there's
24 testimony on this, we'll be able to brief it, but
25 there's a distinction that's important in the industry

1 between a facility and a trunk. Probably the easiest
2 analogy is think of a facility as a big blank expanse of
3 concrete highway with nothing on it. That's the
4 facility. Then you draw the lane lines and the lane
5 lines are the trunks.

6 What we pay Verizon for is a facility. And
7 it's true that the kind of trunks that are presently
8 going over that facility are called access toll
9 connecting trunks, but what we're paying them for is
10 what's called a special access facility today. And the
11 reason that matters is, when we get into the briefing,
12 the FCC has rules about the prices that apply to the
13 purchase of facilities. And so our understanding is
14 that these facilities are subject to the lower pricing
15 rule rather than the higher pricing rule. So the
16 distinction between facilities and trunks matters, and
17 by calling this the trunks, it slightly obscures that
18 issue. I don't know that Verizon would disagree with
19 that characterization, but I want it to be clear at the
20 beginning.

21 The second piece that I'd want to mention is
22 the notion of us using these for free under one of our
23 alternative proposals. Again, this is in the testimony.
24 But to be clear, right now when a long distance carrier
25 buys the service to go from its location, you know,

1 through Verizon network and off to us, we charge the
2 interexchange carrier for the service starting from here
3 all the way down to the end. Under our proposal, we
4 wouldn't pay Verizon for this, but Verizon would charge
5 the IXC for it. So there's no issue of, at least in our
6 mind, of us trying to get something for free or someone
7 not getting paid. It's a question of who charges who
8 for the use of the facility that's out there.

9 So with that clarification, that was my, my
10 primary concern. We can get into it in the cross and
11 direct, if need be, but I wanted to make it clear at the
12 outset. But I think it's a convenient chart with those
13 comparisons and I won't object to it being here.

14 **CHAIRMAN ARGENZIANO:** Thank you.

15 **MR. SAVAGE:** Thank you. I appreciate it.

16 **CHAIRMAN ARGENZIANO:** Any questions? If not,
17 we'll move on to witnesses.

18 **MR. SAVAGE:** Great. Then if Mr. Gates could
19 take the stand.

20 **CHAIRMAN ARGENZIANO:** Mr. Gates, welcome.

21 **COMMISSIONER STEVENS:** Have you sworn the
22 witnesses in?

23 **CHAIRMAN ARGENZIANO:** No, we have not. So
24 let's do that. Thank you. Good thing. We would have
25 done it eventually, but it's better to do it now.

1 All witnesses, if you would stand and raise
2 your right hand. Is that everybody?

3 (Witnesses collectively sworn.)

4 Did I hear everybody? Okay. Thank you. All
5 right. Now we can proceed. Thank you, Commissioner
6 Stevens.

7 **MS. BROOKS:** Excuse me, Madam Chair.

8 **CHAIRMAN ARGENZIANO:** Yes.

9 **MS. BROOKS:** We needed to know whether or not
10 Verizon is going to mark this as an exhibit or are we
11 going to acknowledge this as an exhibit?

12 **CHAIRMAN ARGENZIANO:** I believe that -- was
13 that your intention?

14 **MR. O'ROARK:** We would like to mark this as --
15 and I believe it would be Exhibit 22.

16 **MS. BROOKS:** Yes.

17 **CHAIRMAN ARGENZIANO:** Okay. So that is Number
18 22.

19 (Exhibit 22 marked for identification.)

20 **MS. BROOKS:** Thank you.

21 **CHAIRMAN ARGENZIANO:** Thank you. Anybody
22 else?

23 Okay. Mr. Gates.

24 **MR. SAVAGE:** And a procedural question. I --
25 given what we've stipulated to, and I'd just defer to

1 the staff on this, do we need to formally move the
2 testimony into evidence still or has that been deemed
3 stipulated?

4 **MS. BROOKS:** On the exhibit list is all the
5 testimony. We are believing that any remaining
6 identified exhibits will be proffered by the parties at
7 the time that their witnesses are testifying. Does that
8 answer your question, Mr. Savage?

9 **MR. SAVAGE:** I think so.

10 **MS. HELTON:** You'll need to insert the
11 testimony into the record, identify the exhibits
12 associated with that testimony at the time he is called,
13 and then at the end of his testimony, after his
14 cross-examination, move his exhibits into the record.

15 **MR. SAVAGE:** Okay. Well, that's great then.

16 **TIMOTHY J. GATES**

17 was called as a witness on behalf of Bright House
18 Networks Information Services (Florida), LLC, and,
19 having been duly sworn, testified as follows:

20 **DIRECT EXAMINATION**

21 **BY MR. SAVAGE:**

22 **Q.** Well, then, Mr. Gates, good morning.

23 **A.** Good morning.

24 **Q.** Could you briefly state your name and business
25 address for the record?

1 **A.** Yes. My name is Timothy J. Gates. My
2 business address is 10451 Gooseberry Court, Trinity,
3 Florida 34655.

4 **Q.** And did you cause to be prepared and filed in
5 this case a document called the Direct Testimony of
6 Timothy J. Gates, and then -- on March 26th, 2010, and
7 then a document called the Rebuttal Testimony of Timothy
8 J. Gates on April 16th, 2010?

9 **A.** Yes, I did.

10 **Q.** And connected to your direct testimony I
11 believe you had Exhibit TCG-1 (sic.), which was your CV;
12 is that correct?

13 **A.** Yes.

14 **Q.** And TCG-2 (sic.), which was an issues list
15 with contract provisions?

16 **A.** That's correct.

17 **Q.** And then TCG-3 (sic.) was a red-lined version
18 of the then current interconnection agreement?

19 **A.** Yes.

20 **Q.** The current -- I say then current -- then
21 currently being negotiated interconnection agreement.

22 **A.** Yes. With edits.

23 **Q.** And then attached to your rebuttal testimony,
24 I believe, we had TGC-4 (sic.), which was our version of
25 this little chart. And then -- is that correct?

1 **A.** Yes.

2 **Q.** Okay. And I'll need to remind you, although
3 I'm sure you know, you have to state your answers so the
4 transcript can reflect them.

5 **A.** Okay. Thank you.

6 **Q.** Exhibit TGC-5 (sic.) is a document called the
7 MECAB, M-E-C-A-B, document; is that right?

8 **A.** Yes.

9 **Q.** Number 6 was the MECOD, M-E-C-O-D, document.

10 **A.** That's correct.

11 **Q.** And then Exhibit 7 was Bright House's proposed
12 language for this meet point billing issue we were just
13 discussing.

14 **A.** Correct.

15 (Exhibits 15 through 21 marked for
16 identification.)

17 **BY MR. SAVAGE:**

18 **Q.** Okay. Now do you have any corrections or
19 additions that you need to make at this time to your
20 prefiled either direct or rebuttal testimony?

21 **A.** I do. I have four corrections to my direct
22 and one correction for my rebuttal.

23 The first correction on my direct appears at
24 Page 15. At the bottom of the page at Line 22, please
25 strike the word "is," the second occurrence of that word

1 three words -- it's three words from the end of the
2 sentence. So that that sentence fragment would read,
3 "The basic idea is that a network gets more."

4 And then on Page 73 at Line 13 where I cite
5 the CFR, that should be 51.505(b)(1). So strike the
6 comma and replace it with a period.

7 And then on Page 77, at Line 19, that same
8 issue, that should be 0.0007, not zero comma.

9 And finally on Page 79, and this one is more
10 substantive than typographical, in the footnote, Number
11 40, where I cite to the local competition order, that
12 should be Paragraph 625, not Paragraph 300.

13 And then in my rebuttal testimony I have one
14 change at Page 56. Page 56, Line 2, the word "provider"
15 should be "provides." So it should read "exchange
16 carriers provides." Those are my only changes.

17 **Q.** So with those changes and corrections, if you
18 were asked the same questions set out today, would your
19 answers be the same as stated in your prefiled
20 testimony?

21 **A.** Yes, they would.

22 **Q.** And do you adopt this prefiled testimony as
23 your direct and rebuttal testimony in this proceeding?

24 **A.** I do.

25 (REPORTER'S NOTE: For ease of the record, the

1 prefiled direct and rebuttal testimony of Timothy J.
2 Gates is inserted.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **I. INTRODUCTION**

2 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

3 A. My name is Timothy J Gates. My business address is QSI Consulting, 10451
4 Gooseberry Court, Trinity, Florida 34655.

5 **Q. WHAT IS QSI CONSULTING, INC. AND WHAT IS YOUR POSITION**
6 **WITH THE FIRM?**

7 A. QSI Consulting, Inc. ("QSI") is a consulting firm specializing in traditional and
8 non-traditional utility industries, econometric analysis and computer-aided
9 modeling. QSI provides consulting services for regulated utilities, competitive
10 providers, government agencies (including public utility commissions, attorneys
11 general and consumer councils) and industry organizations. I currently serve as
12 Senior Vice President.

13 **Q. PLEASE DESCRIBE YOUR EDUCATIONAL BACKGROUND AND**
14 **WORK EXPERIENCE.**

15 A. I received a Bachelor of Science degree from Oregon State University and a
16 Master of Management degree, with an emphasis in Finance and Quantitative
17 Methods, from Willamette University's Atkinson Graduate School of
18 Management. Since I received my Masters, I have taken additional graduate-level
19 courses in statistics and econometrics. I have also attended numerous courses and
20 seminars specific to the telecommunications industry, including both the NARUC
21 Annual and NARUC Advanced Regulatory Studies Programs.

1 Prior to joining QSI, I was a Senior Executive Staff Member at MCI WorldCom,
2 Inc. ("MWCOR"). I was employed by MCI and/or MWCOR for 15 years in
3 various public policy positions. While at MWCOR I managed various functions,
4 including tariffing, economic and financial analysis, competitive analysis, witness
5 training and MWCOR's use of external consultants. Prior to joining MWCOR, I
6 was employed as a Telephone Rate Analyst in the Engineering Division at the
7 Texas Public Utility Commission and earlier as an Economic Analyst at the
8 Oregon Public Utility Commission. Exhibit TJG-1 contains a complete summary
9 of my work experience and education.

10 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THE FLORIDA**
11 **PUBLIC SERVICE COMMISSION ("COMMISSION")?**

12 A. Yes. I testified in the following Commission Dockets: Case No. 000475-TP,
13 Docket Nos. 050119-TP/050125-TP, Docket No. 031047-TP, Docket No.
14 000084-TP, Docket No. 000907, and Docket No. 930330-TP. In addition, I have
15 testified more than 200 times in 45 states and Puerto Rico, and filed comments
16 with the Federal Communications Commission ("FCC") on various public policy
17 issues including costing, pricing, local entry, universal service, strategic planning,
18 mergers and network issues. .

19 **Q. DO YOU HAVE EXPERIENCE WITH THE ISSUES IN THIS**
20 **PROCEEDING?**

1 A. Yes. I have participated in dozens of arbitrations since the 1996 amendments to
2 the Communications Act of 1934 (“Act”)¹ were enacted. I am knowledgeable
3 about the interconnection and business practice issues addressed in this testimony
4 arising from the obligations imposed by federal and state law.

5 **Q. ON WHOSE BEHALF ARE YOU FILING THIS DIRECT TESTIMONY?**

6 A. I am submitting this testimony on behalf of Bright House Networks Information
7 Services (Florida), LLC, which I will refer to here as “Bright House.” At times I
8 will need to refer to Bright House’s affiliated provider of cable television and
9 Voice-over-Internet-Protocol (“VoIP”) services. That entity’s formal name is
10 “Bright House Networks, LLC.” I will refer to that entity as “BHN.”

11 **II. GENERAL ECONOMIC PRINCIPLES**

12 **Q. WHAT KEY ECONOMIC PRINCIPLES APPLY TO THE ISSUES IN**
13 **THIS ARBITRATION?**

14 A. All of my recommendations in this matter are based on a few simple but
15 important economic principles:

- 16 • ***First***, neither party to an interconnection agreement should be able to impose
17 unnecessary costs on the other. Obviously the process of interconnection
18 itself entails certain costs, some of which fairly and properly fall on each
19 party. But neither party should be able to insist on interconnection
20 arrangements that are costly to the other party ***for no good reason***. As a

¹ Telecommunications Act of 1996, Pub. LA. No. 104-104, 110 Stat. 56 (1996) (“Telecom Act” or “Act”).

1 society, we want interconnection arrangements to be as efficient as possible;
2 requiring needless expense is inconsistent with that goal.

- 3 ● *Second*, interconnection arrangements should reflect the most efficient
4 technical means for handling any particular situation, even if that that is not
5 the technical arrangement currently in place for one of the parties. If a party
6 can prevent an efficient arrangement simply because that party has not taken
7 the time or effort to become efficient itself, the interconnection agreement
8 will, in this respect, become a government-sanctioned transfer of wealth from
9 the more efficient party to the less efficient party. A similar transfer of wealth
10 will occur if the incumbent is allowed to force inefficiencies on the party with
11 which it interconnects. Such inefficiencies do not make any economic sense
12 and are not in the public interest.

- 13 ● *Third*, it needs to be very clear that the incumbent's way of doing things is not
14 necessarily the most efficient way of doing things. From an economic
15 perspective the purpose of the Act is to enable and facilitate competition in
16 traditionally monopolized telecommunications markets by removing
17 economic and operational impediments.² Further, with the rapid pace of
18 technological advances in transport and switching technologies, no rational
19 provider would adopt the traditional technologies and methods of operation of
20 the incumbent. Facilitating and enabling competition, therefore, necessarily
21 requires analyzing interconnection and intercarrier compensation issues from

² In the Matter of Implementation of the Local Competition Provisions in the Telecommunications Act of 1996; **FIRST REPORT AND ORDER**; CC Docket No. 96-98; Released August 8, 1996; at ¶3. Hereinafter referred to as the FCC's "*Local Competition Order*."

1 a forward-looking perspective in which the technology that is most efficient
2 from a long-run economic cost perspective may not include the technology
3 currently in use by the incumbent. It follows that “because the incumbent
4 does it that way” is not a good argument in favor of a particular resolution of
5 an issue; in many cases, in fact, it might be a good reason to reach the
6 opposite conclusion.

- 7 • *Fourth* and finally, a recognition of the critical role that technological
8 advance has played in contributing to economic welfare in the field of
9 telecommunications justifies a preference for the result that favors, and
10 enables, new technology that is readily available. There is no dispute that
11 communications technology is a decreasing cost industry.³ From an economic
12 perspective, anyone who has a large sunk investment in a particular technical
13 approach will rationally do whatever he can to prevent new technologies from
14 making his technology obsolete. But this private interest in protecting
15 existing investment from the forces of competition is directly contrary to the
16 public interest in innovation and the deployment of new, more efficient
17 technologies.

18 III. BACKGROUND ON THE DISPUTE

19

³ Historical data tracked by the FCC shows that the consumer price index for telephone service has had a very low annual rate of change (only .1%) from 1998 to 2008, while the annual rate of change for the consumer price index for all items over the same period was 2.5%. See FCC Universal Service Monitoring Report, CC Docket No. 98-202, 2009 at Table 7.1. The relatively flat CPI for telephone service reflects, among other things, the huge advances in efficiencies for switching and transport technologies.

1 **Q. BEFORE ADDRESSING THE SPECIFIC OPEN ISSUES IN THIS CASE,**
2 **PLEASE GIVE AN OVERVIEW OF THE CONTEXT OF THIS DISPUTE**
3 **BETWEEN BRIGHT HOUSE AND VERIZON.**

4 A. It has been well over a decade since public policy in this country decisively
5 shifted away from the idea of providing local telephone service by means of
6 regulated monopolies and in favor of the idea of promoting competition for local
7 service. The Act and the FCC recognized that competition was the best way to
8 ensure that consumers benefit from lower prices, improved quality, and service
9 innovation. The most dramatic embodiment of that shift was the Telecom Act, in
10 which Congress established a national policy mandating competition and
11 establishing the basic, minimum rules and procedures that would have to be
12 followed nationwide in order to make local competition a reality. In fact,
13 however, a number of states – including Florida – had already begun to modify
14 their own statutory regimes to promote and encourage competition.

15 **Q. DID THE ACT MANDATE A PARTICULAR ENTRY STRATEGY FOR**
16 **COMPETITION?**

17 A. No. Back in 1995, when the final terms of the new federal law were being
18 established (it was signed into law in early February 1996), nobody was really
19 sure how, exactly, competition would develop. In the FCC's *Local Competition*
20 *Order* the FCC discussed the Act's anticipated market entry methods.

21 The Act contemplates three paths of entry into the local market --
22 the construction of new networks, the use of unbundled elements
23 of the incumbent's network, and resale. The 1996 Act requires us

1 to implement rules that eliminate statutory and regulatory barriers
2 and remove economic impediments to each. We anticipate that
3 some new entrants will follow multiple paths of entry as market
4 conditions and access to capital permit. Some may enter by
5 relying at first entirely on resale of the incumbent's services and
6 then gradually deploying their own facilities.⁴

7 Ideally, in the long run, competition would come from independent, separate
8 networks that would serve their own customers using their own facilities, needing
9 only relatively little "support" from the ILEC in order to be successful in the
10 marketplace.

11 **Q. DID THE FCC RECOGNIZE THAT THE CABLE COMPANIES MIGHT**
12 **BUILD OUT TELECOMMUNICATIONS FACILITIES OVER TIME?**

13 A. Yes. The FCC specifically referred to cable companies with their own networks,
14 but still recognized the need for interconnection on "just, reasonable and
15 nondiscriminatory terms to transport and terminate traffic originating on another
16 carrier's network under reciprocal compensation arrangements."⁵ In the short run,
17 however, new entrants were expected to resell the ILEC services, to purchase
18 unbundled network elements ("UNEs") as needed, to build-out their own
19 networks, or some combination of all of these methods. Regardless of the method
20 chosen, the networks must be interconnected to exchange traffic.

21 **Q. PLEASE ADDRESS THE INTERCONNECTION REQUIREMENT.**

22 A. To support and encourage competition, the Act contains clear rules requiring
23 competing networks to interconnect and to support the exchange of traffic in

⁴ *Local Competition Order* at ¶ 12.

⁵ *Id.* at ¶ 13.

1 situations where customers of one network call customers of the other. Sections
2 251(b)(5) and (c)(2) require incumbents such as Verizon to enter into agreements
3 that contain terms and conditions that are just, reasonable and nondiscriminatory
4 to transport and terminate traffic to and from other providers such as Bright
5 House.

6 Although direct network-to-network competition was the long-term goal,
7 Congress recognized that in the short run competitors would almost certainly need
8 to enter the market more using less expensive, more gradual means. Federal law,
9 therefore, does not just mandate network interconnection as a means to enable
10 competition. It also requires that the ILEC offer its services to CLECs at
11 wholesale prices so that the CLEC can resell those services at retail, and requires
12 the ILEC to “unbundle” its network when requested, *i.e.*, to offer piece-parts of its
13 network separately so that CLECs can buy only the network elements they need
14 to, in effect, fill in the gaps in the CLECs’ own networks and be able to compete.

15 **Q. IS IT POSSIBLE FOR THE STATES TO IMPOSE TERMS AND**
16 **CONDITIONS THAT MIGHT GO BEYOND THOSE PRESCRIBED BY**
17 **THE FCC?**

18 A. Yes. The states may impose different or additional interconnection requirements
19 as long as they are consistent with the Act and the FCC’s rules. This makes sense
20 because situations in individual states may vary, and because state regulators such
21 as this Commission will know much more about conditions in their own states
22 than the federal government would ever know. For these reasons, the Act

1 expressly permits states to impose obligations regarding interconnection in
2 support of local competition that are consistent with, but may go beyond, the
3 minimum obligations contained in federal law.⁶

4 **Q. HOW DID THINGS ACTUALLY WORK OUT UNDER THIS THREE-**
5 **PART PLAN TO OPEN NETWORKS TO COMPETITION?**

6 A. I won't burden the record here with a detailed review of the ups and downs of
7 competition since the passage of the Act. But at a high level, competition
8 unfolded, broadly speaking, along the following lines:

9 **Resale:** Resale is the quickest and cheapest way to enter the market, but it
10 provides very limited opportunities for the provider and for the consumer. The
11 basic idea is that the ILEC will sell its services at a reduced, "wholesale" rate, to
12 the reseller. The reseller then takes on the job of marketing the service, rendering
13 individual retail customer bills, and collecting the money.⁷ The advantage of this
14 approach is that it doesn't require huge amounts of capital to get started and the
15 reseller can get into the market quickly. But the disadvantages are formidable:
16 sales and marketing costs can easily eat up relatively thin profit margins;⁸
17 deciphering ILEC wholesale bills and rendering retail bills turned out to be more
18 complicated and expensive than some may have thought; and, with thin profit
19 margins, it only takes a small number of non-paying customers to result in losses

⁶ See, for instance, *Local Competition Order* at ¶¶ 133- 137.

⁷ I consider UNE Platform to be a form of resale. A UNE-P provider is simply reselling the complete service of the ILEC.

⁸ Unless the rate has been changed in the last few years, Verizon's "avoided cost" wholesale discount in Florida is 13.04 percent.

1 for the reseller. But even if all of those challenges can be overcome, ultimately a
2 reseller can never fundamentally challenge an ILEC because the only services the
3 reseller can offer are the ILEC's own services under a different brand. It is not
4 surprising that now, about a decade and a half into the competitive era, while any
5 number of resellers continue to operate, and while the ILECs' resale obligation is
6 important in the abstract, resellers are not, in fact, significant players in the local
7 telephone marketplace.

8 **Q. ARE YOU SUGGESTING THAT RESALE IS A SHORT-TERM ENTRY**
9 **STRATEGY?**

10 A. Yes. Resale is generally not thought of as a long-term solution because of the
11 reliance upon the incumbent provider and the inability to distinguish the resold
12 service from that of the underlying carrier. In addition, the reseller has no ability
13 to cut its cost of telecommunications services relative to the retail rates of the
14 incumbent from which it purchases services. No matter how well the CLEC
15 manages its own business, and how efficient it becomes, it will still have the same
16 narrow margin (e.g., 13.04%) upon which to meet its own costs and earn a profit.
17 Clearly the reseller has no ability to impose any competitive threat or pressure on
18 the underlying provider and, as such, cannot be considered effective competition.

19 **Q. DOES THE WHOLESALE DISCOUNT IMPACT THE ABILITY OF THE**
20 **RESELLER TO SUCCEED?**

21 A. The amount of the wholesale discount can have a significant impact on the ability
22 of resellers to succeed. If the discount is too small, then the reseller may not be

1 able to recover its marketing costs. I am not taking a position on the level of the
2 Verizon wholesale discount in this proceeding.

3 **Q. PLEASE DISCUSS THE USE OF UNBUNDLED NETWORK ELEMENTS**
4 **OR “UNES” BY CLECS IN THE PROVISIONING OF SERVICE.**

5 A. At the time the Act passed, there were already specialized competitors in some
6 large markets that owned their own telephone switches (used to route traffic
7 among other switches, and to and from individual customers) and sometimes
8 extensive networks of optical fiber connected to large carrier and business
9 customers. These carriers were referred to as competitive access providers, or
10 CAPs. Generally speaking, the business focus of these entities was to provide
11 connections between large business customers and independent long distance
12 carriers (such as, at the time, AT&T and MCI) that were cheaper and more
13 efficient than the connections available from ILECs. Since these entities already
14 had some local facilities in place, they were viewed as strong potential
15 competitors of the ILECs – if only they could obtain the missing network pieces
16 needed to provide a complete end to end service. Given that these types of
17 entities often had switches and some intermachine facilities in place, the most
18 common missing piece was the “loop” – the industry’s term for the connection
19 from the “Class 5” switch out to an individual customer.

20 To facilitate competition from entities of this sort, the Act requires ILECs to
21 provide access to “elements” of their networks on an “unbundled” basis – that is,
22 CLECs are entitled to buy only the parts of the ILEC networks they need, without
23 having to pay for the parts they don’t. The FCC, following the rules set by



1 Congress, identified a number of different UNEs, such as loops, transport,
2 switching, etc. that ILECs had to provide, and established a methodology for
3 establishing the price of such elements.⁹

4 As noted, a common need for most CLECs was the local loop or “last mile”, and a
5 number of CLECs established themselves in the market by using their own
6 switches to serve individual residence and business customers, with the links
7 (UNE loops) to the customers provided by the ILEC.

8 **Q. DO COMPETITORS USING UNE LOOPS (UNE-L CLECs) DO BETTER**
9 **IN THE MARKET THAN RESELLERS?**

10 A. A business model based on obtaining UNE loops from an ILEC provides more
11 opportunities for the CLEC to differentiate its services, but this strategy comes
12 with a significant cost. By virtue of the investment in switching facilities, the
13 competitors can differentiate their services by offering new and different features
14 and develop their own efficiencies in the provision of service. While the CLEC is
15 still dependent upon the ILEC for the loop, at least part of the service is being
16 provided directly through the CLEC’s own investment. Over time, such
17 competitive providers may deploy their own loops where economics support such
18 a decision.

19 **Q. CAN RELYING ON THE ILEC FOR THE LOOP RESULT IN**
20 **DIFFICULTIES FOR THE CLEC?**

⁹ The list of available UNEs has changed over time based on FCC decisions, but the identification of the historical and currently available UNEs is not critical to the disputes in this proceeding.

1 A. Yes. Putting aside the normal competitive risks of any business, a UNE-L CLEC
2 faces the critical problem of obtaining an essential element of its productive
3 resource – its network – from its principal competitor. As the FCC correctly
4 noted in the *Local Competition Order*, “An incumbent LEC also has the ability to
5 act on its incentive to discourage entry and robust competition by not
6 interconnecting its network with the new entrant’s network or by insisting on
7 supracompetitive prices or other unreasonable conditions for terminating calls
8 from the entrant’s customers to the incumbent LEC’s subscribers.”¹⁰ Despite
9 these difficulties, UNE-L CLECs have provided, and continue to provide, a
10 modicum of competition to the established ILECs in a number of markets.

11 **Q. PLEASE DISCUSS THE IMPORTANCE OF CLEC OWNED**
12 **NETWORKS.**

13 A. Competition between interconnected, but stand-alone, networks is in many ways
14 the competitive ideal. Separate, competing networks will be highly motivated to
15 attract customers by offering better services at lower prices. In addition, because
16 separate, stand-alone networks will almost certainly use somewhat different
17 technologies to offer their services, there will be many more opportunities for
18 innovative approaches to meeting consumer needs. This type of head-to-head
19 competition between stand-alone networks is typically called “facilities-based

¹⁰ *Id.* at ¶ 10.

1 competition," and encouraging this type of robust network-to-network rivalry is
2 the ultimate objective of the Act.¹¹

3 **Q. DO FACILITIES-BASED COMPETITORS STILL NEED TO**
4 **INTERCONNECT WITH THE INCUMBENT?**

5 A. Yes. In this competitive model, the CLEC does not merely resell the ILEC's
6 service, and is not dependent on the ILEC for network elements to offer its own
7 services. Nevertheless, for this competitive model to work, the business,
8 technical and operational terms on which the networks interconnect must be
9 efficient, flexible, and consistent with modern technical advances, so that
10 consumers can receive the full benefits of both parties' competitive efforts and
11 investments. In this regard, while the established carriers like Verizon do have
12 certain obligations regarding network interconnection that competitors like Bright
13 House do not, a wide variety of network interconnection obligations are, in fact,
14 mutual – that is, Bright House owes Verizon, in many respects, exactly the same
15 duties that Verizon owes Bright House.

16 **Q. IF BOTH CARRIERS BENEFIT FROM NETWORK**
17 **INTERCONNECTION, WHY IS IT NECESSARY TO REGULATE**
18 **INTERCONNECTION AT ALL?**

19 A. There are several reasons. First, as noted above, the incumbent has no incentive
20 to help its competitors take away customers. In fact, Verizon's incentives are just

¹¹ As the D.C. Circuit observed, one of the of the statute's principal purposes "is to stimulate competition" in local telephone markets – "preferably genuine, facilities-based competition." *United States Telecom Association v. FCC*, 359 F.3d 554,576 (D.C. Cir. 2004).

1 the opposite. The ILECs still have no incentive to work with the CLECs to
2 exchange traffic on just, reasonable and nondiscriminatory terms. The Act and
3 the FCC recognize this fact. As a result, regulation of interconnection is still
4 required after all these years, and is probably a permanent feature of the
5 telecommunications landscape.

6 **Q. TELECOMMUNICATIONS SEEMS TO BE UNIQUE FROM THE**
7 **STANDARD BUSINESS MODEL. WOULD YOU AGREE?**

8 A. Yes. As Bright House noted in its arbitration petition, with most retail products or
9 services, if a customer wants to switch suppliers, they just switch. Changing
10 one's lawn service provider might be a good example. But in the phone business,
11 the old provider has to help move the customer to the new one. Moreover, with
12 most retail products or services, if a customer switches, the old supplier is simply
13 out of the picture. But in the phone business, the old provider remains constantly
14 involved, sending calls to, and receiving calls from, its own former customers.
15 Because of this unusual but unavoidable continuing interaction among providers,
16 for phone competition to work, competing providers have to cooperate behind the
17 scenes, even though they are rivals and even though their economic incentive is to
18 hinder, not help, each other. As a result, no matter how much retail competition
19 there might be, regulation is needed to make sure that the critical behind-the-
20 scenes cooperation actually occurs.

21 Second, there is a phenomenon referred to in the industry as "network effects," or,
22 sometimes, as "Metcalfe's Law." The basic idea is that a network ~~is~~ gets more

1 and more valuable as more and more people are connected to it. A telephone
2 “network” with only one phone attached is useless. Two phones is better, a
3 thousand phones is a lot better, and a million is even better. To state the obvious,
4 the value of a service is maximized if the customer can contact any other person
5 on the PSTN or private networks. In competitive terms, though, this means that,
6 other things being equal, whichever network is the biggest will be the most
7 valuable, and the one to which consumers will want to be connected.

8 **Q. DOES METCALFE’S LAW MEAN THAT THE INCUMBENT’S**
9 **NETWORK WILL ALWAYS BE MORE VALUABLE AND PREFERRED**
10 **OVER SMALLER NETWORKS?**

11 A. Absent regulation that would undoubtedly be the case. Except in extremely
12 unusual circumstances, as long as the existing, incumbent network is bigger than a
13 competing network, the competing network won’t be able to attract any customers
14 – unless those customers can call, and be called by, the people connected to the
15 existing network. Competition simply cannot develop if competing networks do
16 not have a clear and unambiguous right to connect to, and exchange traffic with,
17 the existing, incumbent network on terms that are fair and reasonable as an
18 operational, technical, and financial matter. This is precisely why the Telecom
19 Act of 1996 was required. Absent regulation, there would be no competition
20 because the incumbents would exercise their market power and prevent entry.

21 **Q. HOW HAS FACILITIES-BASED COMPETITION WORKED OUT IN**
22 **PRACTICE SINCE THE PASSAGE OF THE ACT?**

1 A. It has taken quite some time for real facilities-based competition to develop.
2 After the passage of the Act, CLECs were numerous and investors were
3 anticipating competition. During the early 2000s, however, the glow on the
4 CLEC industry was tarnished by poor earnings, scores of bankruptcies, and FCC
5 decisions that reduced the availability of UNEs. But now, about a decade-and-a-
6 half after the passage of the Act, it appears that competing telephone companies
7 affiliated with, or working with, cable operators have been able to use Internet
8 technology (packet switching with Internet protocol) to provide meaningful
9 competition to the traditional phone companies like Verizon – at least in the
10 residential segment of the market where cable networks already naturally exist in
11 order to provide video and other services. Although the precise figures are
12 proprietary, discovery in this case shows that in the Tampa-St. Petersburg area in
13 particular, where Bright House competes with Verizon, Bright House-supported
14 VoIP service has captured a substantial share of the market.¹²

15 **Q. HOW DOES THE INDUSTRY CONTEXT YOU HAVE JUST DESCRIBED**
16 **RELATE TO THE ISSUES IN DISPUTE BETWEEN BRIGHT HOUSE**
17 **AND VERIZON?**

18 A. Several years ago, when Bright House entered the market in earnest, Bright House
19 chose not to negotiate an entirely new interconnection agreement between itself

¹² I should also note that wireless service has also become increasingly viewed as a compliment to traditional ILEC landline service. Wireless networks were granted the same interconnection rights as landline CLECs under the 1996 Act, and as wireless providers have improved their coverage, and wireless phones have become increasingly appealing and sophisticated, wireless service has indeed begun to challenge traditional ILEC phone service for some customers. Basic service quality is not as good as landline (dead zones, dropped calls, etc.), but the benefits of mobility and handset features appear, for some customers at least, to be an adequate trade-off.

1 and Verizon. Instead, it used a statutory procedure typical for new entrants,
2 which was to “adopt,” or “opt into” an existing agreement that Verizon already
3 had in place with another carrier¹³ – in this case, the agreement that Verizon had
4 used to interconnect with MCI, established before MCI was actually purchased by
5 Verizon itself. That agreement had originally been partly negotiated and partly
6 arbitrated as between GTE (Verizon’s predecessor here in Florida) and AT&T,
7 back when AT&T was an independent competitor; it was amended in various
8 ways over time. This was fine as a way to get started, but many of the key terms
9 of the agreement that Bright House adopted actually dated back to 1997. It was
10 perfectly sensible for Bright House to choose to negotiate a new agreement, with
11 terms that focused on its own business situation, and on the way that the market
12 for local telephone service has actually evolved in the 21st Century.

13 **Q. ARE YOU SUGGESTING THAT AT LEAST IN PART, THIS**
14 **PROCEEDING IS FOCUSED ON CREATING AN ICA THAT MEETS**
15 **THE BUSINESS NEEDS OF BRIGHT HOUSE AS OPPOSED TO THE**
16 **PREVIOUS AGREEMENT WHICH WAS NEGOTIATED BY OTHER**
17 **PARTIES?**

18 A. Yes. Unlike most CLECs Bright House generally does not resell Verizon
19 services or purchase UNEs. The issues in dispute reflect that new competitive

¹³ See, Section 252(i). In 2004, the FCC replaced the “pick-and-choose” rule with an “all-or-nothing” rule. This meant that when a CLEC opted into an ICA that it had to opt into the entire agreement and not just certain terms and conditions. See, FCC 04-164, SECOND REPORT AND ORDER, Released: July 13, 2004.

1 reality. Whereas in 1997 or even 2000, an arbitration would often involve dozens
2 of issues and sub-issues about the prices for UNEs, the appropriate discount to
3 apply to different wholesale services, etc., Bright House's dispute with Verizon
4 involves one discrete issue of resale policy and a few isolated issues relating to
5 UNEs; the other issues all deal with the business or technical terms of
6 interconnection and traffic exchange, with matters bearing on how to handle the
7 transfer of customers from one carrier to the other, or business issues that relate to
8 the nature of the parties' contractual relationship.

9 In other words, Bright House's disputes with Verizon are focused on what is
10 needed to promote and enable full facilities-based competition for voice telephone
11 service in Florida. The Commission should consider its decisions regarding the
12 open issues from the perspective of permitting that type of competition to
13 flourish.

14 **IV ISSUES IN DISPUTE**

15 **Q. HOW MANY ISSUES ARE IN DISPUTE AT THIS TIME?**

16
17 **A.** As of the date this testimony is being prepared, there are approximately forty-five
18 (45) unresolved issues in this arbitration. I have addressed all but two of those
19 issues in this testimony. The two issues I am not addressing are Issue 43 and
20 Issue 44. Ms. Marva Johnson will address those issues specifically, and other
21 issues as well. My understanding, however, is that the parties are engaged in
22 ongoing negotiations so that issues that are now open may well be resolved as

1 time goes on. I will attempt to note any newly resolved issues in my rebuttal
2 testimony.

3 **Q. IS FORTY-FIVE A LARGE NUMBER OF OPEN ISSUES IN AN**
4 **ARBITRATION PROCEEDING UNDER THE ACT?**

5 A. No, not at all. Over the years since the statutory arbitration process has been
6 established, it has not been uncommon for an arbitration between an ILEC such as
7 Verizon Florida LLC (“Verizon”) and a CLEC such as Bright House to involve
8 well over a hundred separate open issues – sometimes more. Also, some issues
9 which are separately identified are closely related and will be discussed together.

10 So, while it appears a bit laborious to address almost fifty issues, in fact
11 the parties’ disagreements in this proceeding are relatively limited and focused.

12 **Q. HOW WILL YOU ADDRESS ISSUES YOUR TESTIMONY?**

13 A. As noted above, I will at least touch on every open issue except for Issue 43 and
14 Issue 44. In some cases I may note that an issue will also be addressed by another
15 witness, or that it is primarily a matter for discussion in the company’s briefs by
16 its attorneys.

17 In an attempt to efficiently address the disputes, I will take certain issues “out of
18 order” as compared to how they are presented in the issues list. The reason is that
19 certain issues raise the same or very similar policy or practical concerns, and are

1 therefore logically grouped together, even though they do not always appear next
2 to each other in the issues list.¹⁴

3 ***Issue 1***

4
5 **Issue #1: Should tariffed rates and associated terms apply to services**
6 **ordered under or provided in accordance with the ICA?**

7 **Q. PLEASE DESCRIBE THE DISPUTE UNDERLYING ISSUE #1.**

8 A. In raising these issues, Bright House was concerned that Verizon's draft language
9 in the interconnection agreement ("ICA") was not sufficiently clear regarding
10 when prices for functions under the agreement would be clear on the face of the
11 ICA itself, as opposed to arising from Verizon's tariffs. As of the date of this
12 direct testimony, however, I am told that the parties have reached agreement on a
13 procedure by which they will identify essentially all the functions under the ICA
14 that are of significance to Bright House and clarify the pricing of each such

¹⁴ Exhibit TJG-2 is a chart indicating Bright House's current understanding of the particular contract sections that are implicated by each of the enumerated issues in dispute. Exhibit TJG-3 is a marked-up copy of the agreement, prepared by Bright House, showing what the parties have been negotiating. In that document, language that Bright House currently believes not to be in dispute appears in normal type, while Bright House's proposed changes, to which Verizon has not agreed, are indicated in the standard format for Microsoft Word's "Track Changes" feature. Please note that while Bright House has worked in good faith to accurately reflect the matters on which it has reached agreement with Verizon, and those where it has not, Verizon has not seen or approved this document, and in any event it does not fully reflect the results of various settlement discussions may not have been reflected with complete accuracy in the attached. I can state for certain that the parties' very recent settlements affecting Issue #1 and Issue #2 (definitive pricing), Issue #23 (directory listings) and Issue #25 (IP-based interconnection) have not been reflected in Exhibit TJG-3, although I do note those settlements in this testimony. I am attaching it as a convenient reference for most issues, not as an "authoritative" document. Bright House has assured me that they will work cooperatively with Verizon to ensure that, well in advance of the hearing in this matter, a "conformed" version of the draft ICA will be developed that accurately reflects, for the Commission and the Staff, the actual contractual language that is in dispute as the case moves forward.

1 function. The parties still disagree about the underlying principles to be applied
2 in setting some rates – and I discuss that disagreement below – but the question of
3 whether prices should be clearly specified in the ICA appears to have been
4 resolved.

5 **Q. DO YOU HAVE ANY FURTHER COMMENT ON THESE ISSUES?**

6 A. Not at this time. The parties finalized their agreement only a few days prior to the
7 filing of this testimony, so it is possible that some minor matters regarding this
8 issue (e.g., specific contract language to reflect their agreement) may arise. If that
9 occurs, I will address those issues in my rebuttal testimony.

10 ***Issue 45***

11 **Issue #45: Should Verizon's collocation terms be included in the ICA or**
12 **should the ICA refer to Verizon's collocation tariffs?**

13 **Q. PLEASE DESCRIBE THE DISPUTE UNDERLYING ISSUE #45.**

14 A. Verizon's draft ICA does not contain any specific terms, conditions, or prices
15 relating to collocation. Instead, it simply refers to Verizon's interstate and
16 intrastate tariffs. Bright House believes that the terms and conditions, including
17 rates, of an important function such as collocation should be included in the ICA
18 itself.

19 **Q. WHAT PROBLEMS DO YOU SEE WITH VERIZON'S APPROACH?**

20 A. Verizon's proposed language refers simultaneously to its interstate and intrastate
21 collocation tariffs. Bright House has no idea whether those tariffs are the same as,

1 or materially different from, either the terms on which Bright House is obtaining
2 collocation today, or even from each other. Moreover, the FCC, in discussing
3 collocation provided to interconnecting carriers under the Act, expressly
4 distinguished the type of collocation that was available under tariff from the type
5 of collocation that is to be provided in accordance with the Act.¹⁵ Bright House
6 needs the opportunity to actually see what collocation terms and conditions
7 Verizon is seeking to impose. Only then can the parties address and iron out any
8 differences they may have.

9 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
10 **#45?**

11 A. The Commission should accept Bright House's position and require the parties to
12 include specific language regarding collocation terms and conditions in the ICA
13 itself. If the parties cannot resolve this issue before the Commission's ruling in
14 this case, then that ruling should direct the parties to treat the collocation language
15 as a dispute under the "Dispute Resolution" provisions in the General Terms and
16 Conditions. Under those provisions, after a reasonable period of negotiations,
17 either party may bring the dispute to the Commission for resolution. In the
18 meantime, the Commission should rule that the terms and conditions applicable to
19 Bright House's collocation arrangements today, under the parties' existing ICA,
20 remain in force until new terms are established.

¹⁵ *Local Competition Order at ¶¶ 565-569.*

1 ***Issues 2 and 11***

2
3 **Issue #2: Should all charges under the ICA be expressly stated? If not,**
4 **what payment obligations arise when a party renders a service**
5 **to the other party for which the ICA does not specify a**
6 **particular rate?**

7 **Issue #11: Should the ICA state that “ordering” a service does not mean a**
8 **charge will apply?**

9 **Q. PLEASE DESCRIBE THE DISPUTE UNDERLYING ISSUE #2.**

10 A. Issue #2 is closely related to Issue #1, and the parties' agreement to identify the
11 prices of all significant items in the ICA, in the main, settles Issue #2 as well. It is
12 conceivable that the parties will encounter difficulties in agreeing on the specific
13 contract language regarding the implementation of that settlement. If that occurs,
14 I will address the issue in my rebuttal testimony.

15 A.

16 **Q. IN ISSUE #11, AND IN PART IN ISSUE #2, BRIGHT HOUSE SEEMS**
17 **CONCERNED WITH THE TERM “ORDER.” PLEASE EXPLAIN.**

18 A. It is common practice in the industry, and in the contract, to refer to one party
19 “ordering” something from the other party. That language could be read to imply
20 that the party placing the “order” understands or agrees that there is or should be a
21 monetary charge for the function “ordered.” Bright House wants it to be clear
22 that no such implication or understanding is correct. This is addressed in its
23 proposed Section 51.3 of the General Terms and Conditions. That said, assuming
24 the parties are successful in specifying the prices applicable to particular
25 functions, this issue will greatly diminish in importance

1 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUES**
2 **#2 AND #11?**

3 A. As noted, it appears that Issue #2 is settled, as it relates to the specific statement
4 of prices. However, the Commission should include Bright House's proposed
5 language for Section 51.3 of the General Terms and Conditions in the contract. It
6 should also include the related language in certain other sections of the
7 agreement.¹⁶

8 ***Issue 12***

9 **Issue #12: When the rate for a service is modified by the Florida Public**
10 **Service Commission or the FCC, should the new rate be**
11 **implemented and if so, how?**
12

13 **Q. WHAT IS THE UNDERLYING DISPUTE REGARDING ISSUE #12?**

14 A. As discussed above, Bright House requires certainty as to terms and conditions
15 without reference to tariffs. Consistent with that need, Bright House proposed to
16 delete a Verizon provision that had the effect of suggesting that rates could be
17 changed simply by Verizon filing a tariff governing them, without any negotiation
18 with or input from Bright House.

19 **Q. ARE YOU SUGGESTING THAT THE COMMISSION CANNOT**
20 **CHANGE TARIFFED RATES?**

21 A. No. Bright House accepts that the Commission has jurisdiction over Verizon's
22 tariffs and over the terms and conditions of the new ICA. Bright House has

¹⁶ See Exhibits TJG-2 and TJG-3.

1 modified its initial proposal to include the following language in the Pricing

2 Attachment:

3 1.5 Except to the extent that Appendix A of this Pricing Attachment
4 expressly and specifically states that a particular charge shall be as
5 specified in a Party's tariff, no charge in Appendix A of this
6 Pricing Attachment or any other provision of this Agreement shall
7 be affected by any Tariff.

8
9 1.6 (a) Subject to sections 1.5 and 1.6(b) hereof, if, during the time that
10 this Agreement is in effect, the Commission or the FCC establishes
11 a rate for a function which is chargeable under this Agreement,
12 then the newly established rate shall supersede the rate established
13 in this Agreement.

14
15 (b) The approval or establishment by the FCC or the Commission
16 of a rate in a Party's tariff, or the allowing of such a rate to take
17 effect without express approval or establishment by the FCC or the
18 Commission, shall have no effect on any rate to be charged under
19 this Agreement, except where this Agreement expressly states that
20 the rate for a particular function or Service shall be as stated in a
21 Party's tariff.

22
23 Verizon has not accepted this language – largely, I suspect, due to the parties'
24 disagreement about the role of tariffs under the agreement. Nevertheless, this
25 language recognizes the Commission's and the FCC's authority to set rates and
26 allows for changes under the ICA. I recommend that the Commission adopt this
27 language as a reasonable compromise.

28 *Issue 7*

29
30 **Issue #7: Should Verizon be allowed to cease performing duties provided**
31 **for in this agreement that are not required by applicable law?**

32 **Q. PLEASE DESCRIBE THE DISPUTE UNDERLYING ISSUE #7.**

1 A. One of Bright House's concerns with Verizon's draft ICA is that in various
2 respects that draft fails to specifically set out all the key terms and conditions
3 under which Bright House will obtain the services and functions that the contract
4 addresses. As noted above, the parties have resolved that problem as it relates to
5 the pricing of functions to be provided under the ICA. However, Verizon's draft
6 language is still deeply flawed as it relates to Verizon's basic obligation to
7 perform its contractual obligations in the first place. This problem with Verizon's
8 draft ICA language arises under this issue (Issue #7) and Issue #6. Verizon's
9 approach eliminates the certainty required to run a business and will also result in
10 disputes that could be avoided.

11 **Q. WHERE IS THIS PROBLEM REFLECTED IN VERIZON'S DRAFT**
12 **CONTRACT LANGUAGE?**

13 A. This problem is reflected in Verizon's proposed Section 50 of the General Terms
14 and Conditions, which is addressed here, under Issue #7. In Section 50, Verizon
15 has proposed vague language relating to its obligation to continue to perform its
16 contractual duties during the term of the contract. Verizon's proposed Section
17 50.1 establishes a general rule that Verizon may simply stop performing its
18 obligations under the contract, any time that Verizon unilaterally decides that the
19 particular obligation is not "required by Applicable Law."

20 Verizon's proposed language for Section 50.1 is as follows:

21 50.1 Notwithstanding anything contained in this Agreement,
22 except as otherwise required by Applicable Law, Verizon may
23 terminate its offering and/or provision of any Service under this

1 Agreement upon thirty (30) days prior written notice to ***CLEC
2 Acronym TE***.

3 Proposed Section 50.2 applies that general rule to a specific type of situation –
4 compensation related to traffic.

5 **Q. WHY IS VERIZON'S PROPOSAL NOT ACCEPTABLE?**

6 A. "Applicable Law" refers to state and federal laws and regulations relating to the
7 performance of the contract, and Verizon has to follow "Applicable Law." But
8 "Applicable Law" does not deal with every detail of the actual implementation of
9 interconnection. Indeed, part of the point of the contract negotiation/arbitration
10 process is to flesh out particular details that are not, in fact, addressed by existing
11 law or rules. As a result, many of the specific contractual obligations that matter
12 to the actual implementation of the parties' interconnection relationship are not
13 "required by Applicable Law."

14 **Q. CAN YOU PROVIDE SOME EXAMPLES TO ILLUSTRATE THE**
15 **PROBLEM YOU SUGGEST?**

16 A. Yes. To give one example, the contract has a specific provision governing how
17 Verizon will give formal "notice" to Bright House of actions relevant to the
18 contract. But nothing in "Applicable Law" says anything about the details of that
19 type of notice. Under Verizon's language in Section 50.1, however, Verizon
20 could simply declare that in 30 days' time it would no longer follow those rules
21 on notice. As another example, after some negotiation the parties' agreed on how
22 to handle situations in which Bright House might want to assign the contract to

1 another entity in connection with a corporate reorganization or refinancing of its
2 operations. “Applicable Law” says nothing about that issue, and under Verizon’s
3 proposed Section 50.1, again, Verizon could simply walk away from the
4 obligations that the parties have negotiated.

5 But the problem with Verizon’s language is actually even worse than that. As I
6 noted above, probably the single most important function that Bright House and
7 Verizon perform for each other under the contract is the termination of traffic
8 coming from the other party. FCC rules indicate that Verizon must offer two
9 different options to govern compensation for such traffic, and the parties have
10 agreed which one they will use. But – precisely because there are different
11 permissible options – neither of them can be said to be literally “required” by
12 Applicable Law. Verizon’s proposed Sections 50.1 and 50.2 would, apparently,
13 give Verizon the right to renege on the traffic compensation deal the parties have
14 already agreed to.

15 **Q. ARE THERE ANY OTHER PROBLEMS WITH VERIZON’S**
16 **PROPOSAL?**

17 **A.** Yes. The parties recognize that the legal and regulatory context in which they are
18 operating may change in important ways during the time that the contract is in
19 effect. For this reason, they have included a “change in law” provision – which is
20 completely standard in this type of contract. The actual provision is more
21 detailed, but the crucial language is the first sentence of Section 4.6 of the General
22 Terms and Conditions: “In the event of any Change in Applicable Law, the

1 Parties shall promptly renegotiate in good faith and amend in writing this
2 Agreement in order to make such mutually acceptable revisions to this Agreement
3 as may be required in order to conform the Agreement to Applicable Law.” (If
4 the parties can’t agree on how to modify the contract in light of a change in law,
5 they agree to bring the matter to the Commission for resolution.)

6 In other words, if Applicable Law – the legal environment the parties assumed to
7 exist when they negotiated the contract – actually *changes*, then the parties
8 already agree that they will get together to sort out what the change in law means
9 for their contractual relationship. Since the situation of *changes* in applicable law
10 is already covered by Section 4.6 of the General Terms, it is disconcerting that
11 Verizon feels there is a need for its proposed Section 50.1. Verizon’s proposal
12 would allow it to either (a) *unilaterally* stop performing its contractual duties
13 when applicable law changes – thereby evading the negotiation requirement in
14 Section 4.6; or (b) *unilaterally* stop performing any of its contractual duties at all
15 – even if the law has not changed – any time Verizon decides that something it
16 agreed to in the contract is not specifically required of it by applicable law.

17 Verizon’s proposed language is one-sided and unfair. It undermines the entire
18 idea of a binding ICA. Basically, Verizon is saying that it gets to be the judge of
19 what Applicable Law supposedly does or does not require and – notwithstanding
20 its supposed contractual commitments – that it gets to simply walk away from any
21 obligation it has agreed to unless, in Verizon’s view, Applicable Law directly
22 requires that obligation to be performed. This is inappropriate and should be
23 rejected by the Commission.

1 **Q. WHAT ABOUT THE SPECIFIC SITUATION THAT VERIZON**
2 **ADDRESSES IN SECTION 50.2?**

3 A. Section 50.2 specifically says that if Verizon is not required by Applicable Law to
4 pay compensation to Bright House for the delivery of traffic to Bright House,
5 Verizon can stop paying.

6 **Q. IS IT REASONABLE FOR THE ICA TO ALLOW VERIZON TO STOP**
7 **PAYING INTERCARRIER COMPENSATION?**

8 A. No. First, as noted above, Verizon's asserted right to simply stop paying is not
9 limited to situations in which some identifiable FCC or Commission ruling
10 *changes* Verizon's current payment obligations. So Verizon could simply decide
11 one day that payment is not required, and stop. Second, even if some new ruling
12 is issued, the parties may not agree that the correct interpretation of the ruling is
13 that Verizon is not required to pay compensation. By circumventing the
14 requirement that the law *change* before Verizon can stop paying, and
15 circumventing Verizon's obligation to negotiate about what to do about changes
16 in law, Verizon would assume complete control over its obligation to pay for
17 services it receives under the contract. Again, this is simply one-sided and unfair.

18 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
19 **#7?**

20 A. The Commission should reject Verizon's proposed Section 50. Verizon is entitled
21 to renegotiate affected provisions in the contract if Applicable Law *changes*.

1 Verizon is not entitled to cease performing its obligations under the contract just
2 because Verizon's *opinion* about Applicable Law changes, or just because it
3 agreed to something that Applicable Law does not specifically address.

4 ***Issue 6***

5
6 **Issue #6: If during the term of this agreement Verizon becomes required**
7 **to offer a service under the ICA, may the parties be required to**
8 **enter into good faith negotiations concerning the**
9 **implementation of that service?**

10 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #6?**

11 A. Issue #6 relates to a provision that Verizon proposes to include in the General
12 Terms and Conditions, and, in addition, in each substantive "Attachment" to the
13 contract addressing a particular specific subject area. Verizon entitles this
14 provision, in each case, "Good Faith Performance." What it says is this:

15 If and, to the extent that, Verizon, prior to the Effective Date of
16 this Agreement, has not provided in the State of [Florida] a Service
17 offered under this Agreement, Verizon reserves the right to
18 negotiate in good faith with [Bright House] reasonable terms and
19 conditions (including, without limitation, rates and implementation
20 timeframes) for such Service; and, if the Parties cannot agree to
21 such terms and conditions (including, without limitation, rates and
22 implementation timeframes), either Party may utilize the
23 Agreement's dispute resolution procedures.

24 Depending on what Verizon means by this, it could be a serious problem for
25 Bright House and its operations. As written, this language seems to qualify each
26 and every one of Verizon's obligations under the contract. That is, even though
27 the contract clearly says that Verizon has to do something, this language gives
28 Verizon an "out" – if it has not previously performed that task in Florida, then –

1 its obligations elsewhere in the contract notwithstanding – Verizon doesn't really
2 have to do it. Instead, Verizon gets to start the negotiation process all over again,
3 to establish “reasonable terms and conditions (including, without limitation, rates
4 and implementation timeframes)” for the function.

5 **Q. IT SEEMS THAT THIS LANGUAGE WOULD RESULT IN MINI-**
6 **ARBITRATIONS FOR ANY AND ALL SERVICES THAT VERIZON**
7 **MAY NOT HAVE PROVIDED IN FLORIDA. IS THAT CORRECT?**

8 A. I think that is a fair reading of the language. Bright House proposed to delete this
9 language in the half-dozen places in which it appears in the contract. Bright
10 House said that if there is anything in the proposed contract – a contract that
11 Verizon itself drafted – that Verizon was not immediately prepared to provide in
12 Florida, Verizon should identify those things *now*, so that actual “reasonable
13 terms and conditions” could be worked out *before the contract was signed*.
14 Verizon has refused to do so.

15 **Q. WHAT IS VERIZON'S POSITION ON THIS ISSUE?**

16 A. As I understand it, Verizon is concerned that if (for example) it is required by
17 governing law to offer some particular network element, and agrees to do so in
18 the contract, but has never actually provided that element in Florida, it should be
19 permitted to negotiate the details of how that network element will be provided
20 once a request for it is actually made.

21 **Q. IS VERIZON'S POSITION REASONABLE?**

1 A. No. While it is certainly reasonable to want to negotiate the details of how it will
2 provide some service that it has never before provided, it is not reasonable to
3 refuse Bright House's request to identify what specific items that Verizon is
4 offering to provide in this contract would be subject to additional negotiation
5 because they have not previously been provided in Florida.

6 **Q. HAS VERIZON REFUSED TO IDENTIFY ITEMS IN THE ICA THAT IT**
7 **HAS NOT PROVIDED IN FLORIDA?**

8 A. Yes. And this refusal by Verizon is a real problem. How is Bright House
9 supposed to know whether something Verizon promises in the contract --
10 something Bright House might need in its operations -- is really, actually
11 available, if Verizon will not say?

12 Note that this language has nothing to do with some *new* obligation that might be
13 imposed on Verizon by virtue of a change in law. As discussed earlier, the parties
14 have agreed that if the law changes in a way that materially affects their
15 obligations under the contract, they will sit down and negotiate what to do about
16 it. Since that situation is covered by the change-in-law provision, Bright House is
17 logically concerned that Verizon is trying to avoid the obligations it has agreed to,
18 under existing law, in the contract as written. That is obviously unreasonable and
19 inappropriate.

20 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
21 **#6?**

1 A. The Commission should reject Verizon's proposed language and delete it in each
2 place that it appears in the draft.¹⁷

3 ***Issue 5***
4

5 **Issue #5: Is Verizon entitled to access Bright House's poles, ducts,**
6 **conduits and rights-of-way?**

7 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #5?**

8 A. Verizon seems confused about Bright House's regulatory status. Bright House is
9 a CLEC. A CLEC has no obligation to make poles, ducts, conduits or rights-of-
10 way that it might control available to an ILEC like Verizon. The statute that
11 makes one entity's poles, etc., available to other entities (Section 224 of the Act)
12 is focused on ensuring that entities that traditionally controlled such infrastructure
13 – ILECs and power companies – make it available on reasonable terms to entities
14 that traditionally have not controlled such infrastructure – CLECs and cable
15 operators.

16 **Q. HAVE YOU SEEN ILECS ATTEMPT TO GAIN ACCESS TO CLEC**
17 **POLES, DUCTS, CONDUITS AND RIGHTS-OF-WAY IN IN OTHER**
18 **ARBITRATIONS?**

19 A. No.

20 **Q. CAN YOU SPECULATE AS TO WHY VERIZON HAS RAISED THIS**
21 **ISSUE?**

¹⁷ See Exhibits TJG-2 and TJG-3.

1 A. Generally I try to avoid speculation, but in order to try to add some clarity I will
2 provide my insight into the dispute. Verizon's point seems to be that since Bright
3 House has an affiliate that is a cable operator, and since Verizon now offers video
4 services over its fiber optic "FiOS" service in competition with Bright House's
5 cable affiliate, and since Verizon, in its role as an ILEC, is required by law make
6 its poles, etc. available to CLECs and cable operators, then Bright House, a
7 CLEC, should have to make its poles, etc., available to Verizon – presumably in
8 support of Verizon's cable operations.

9 **Q. IF THAT IS VERIZON'S REASONING FOR ITS PROPOSAL, DOES IT**
10 **JUSTIFY THE PROPOSAL?**

11 A. No. If this is indeed Verizon's position, it makes no sense. As noted, the relevant
12 legal obligations regarding poles and conduits flow *from* the entities that have
13 traditionally controlled the vast majority of this infrastructure *to* the entities that
14 have not. In this regard, the FCC has ruled that states may not impose on CLECs,
15 such as Bright House, obligations that the law imposes only on ILECs, such as
16 Verizon.¹⁸ While this rule literally only applies to the ILEC-specific duties
17 contained in Section 251(c) of the Act, the policy underlying the rule is fully
18 applicable here. Congress did impose certain duties only on ILECs, but it also
19 established a process by which a carrier that is not literally an ILEC can be
20 deemed to be one for purposes of Section 251, if the carrier has come to occupy a
21 position in the market comparable to the position held by an ILEC.¹⁹ The point of

¹⁸ See 47 C.F.R. § 51.223(a).

¹⁹ See 47 C.F.R. § 51.223(b); *Local Competition Order* at ¶ 1248.

1 this rule is that based on its traditional position in the market, certain obligations
2 are appropriate to impose on an ILEC but not other carriers, unless those other
3 carriers have achieved a market position akin to that of an ILEC. That is clearly
4 not the case with Bright House in the Tampa/St. Petersburg area. Finally, in any
5 event, a proceeding such as this one – an arbitration of network interconnection
6 terms and conditions between two carriers – is not the place to sort out policy
7 disputes regarding Verizon’s cable service.

8 But, again, Verizon’s real purpose here is not clear. We will have to await
9 Verizon’s testimony to understand it. In the meantime, I recommend that the
10 Commission adopt Bright House’s recommendation to delete this proposed
11 contract provision.²⁰

12 ***Issue 8***

13
14 **Issue #8: Should the ICA include terms that prohibit Verizon from**
15 **selling its territory unless the buyer assumes the ICA?**

16 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #8?**

17 A. Verizon has proposed contract language under which, if it sells all or a portion of
18 the territory covered by the agreement (in this case, the Tampa/St. Petersburg
19 area), then Verizon can simply terminate the contract on 90 days notice. Bright
20 House has proposed language that requires Verizon to first obtain agreement from
21 the entity purchasing the territory to be bound by the terms of the agreement. In
22 effect, this proposal means that Verizon cannot sell its territory unless the buyer

²⁰ See Exhibits TJG-2 and TJG-3.

1 agrees to assume the terms of the ICA. Verizon is unwilling to accept Bright
2 House's proposal.

3 **Q. IS BRIGHT HOUSE'S PROPOSAL FAIR AND REASONABLE?**

4 A. Yes. Bright House has undertaken the time and expense of negotiating (and now
5 arbitrating) the terms of an agreement with Verizon to govern their
6 interconnection arrangements in the Tampa/St. Petersburg area. Under Verizon's
7 proposal, on 90 days notice the fruits of that effort will be completely undone –
8 the contract terminated – if Verizon sells its operations in that area to a third party
9 (such as AT&T, TDS, etc.). At that time Bright House would have no binding
10 and effective interconnection agreement with either Verizon (if it still owned the
11 territory for some period) or with the new owner. Its entire operation in the
12 Tampa/St. Petersburg area – serving, indirectly, hundreds of thousands of end
13 user customers – would be thrown into limbo.

14 **Q. IF VERIZON WERE TO TELL BRIGHT HOUSE WHO THE**
15 **POTENTIAL BUYER WAS, COULD BRIGHT HOUSE THEN SEEK TO**
16 **EXTEND THE AGREEMENT WITH THE NEW BUYER?**

17 A. I suppose Bright House could attempt such a task, but it would be akin to
18 renegotiating the agreement with no guarantee of success. The new owner of the
19 territory could take the position that it will not negotiate about the Tampa/St.
20 Petersburg area until the sale closes. Note also that under applicable federal law,
21 if the new owner and Bright House could not agree on an interconnection
22 agreement, it would be necessary to arbitrate one – just as we are doing now – a

1 process that typically takes a minimum of 270 days, and sometimes much more.

2 So for many months at least, Bright House would be in the position of operating
3 with no binding contract between it and the new owner of the territory.

4 **Q. MIGHT THE LACK OF AN ICA IMPACT CONSUMERS?**

5 A. Yes. As one can see from the disputes in this case, there are many issues pending
6 that could have a significant impact on Bright House's ability to offer service and
7 its cost to offer service. Any changes in operations, terms and conditions, or other
8 aspects of the business arrangement could impact the quality of service to
9 consumers.

10 This is plainly unjust and unreasonable. Bright House should not be subject to
11 such uncertainty and consumer services should not be put at risk. The Bright
12 House position resolves these issues in a responsible manner that preserves the
13 operating environment envisioned by the ICA that this Commission will approve.

14 Verizon is free to sell its territory, but as a condition of doing so, it must get the
15 new buyer to agree to the terms of the existing contract between Verizon and
16 Bright House.

17 **Q. WHAT IS VERIZON'S JUSTIFICATION FOR REJECTING BRIGHT**
18 **HOUSE'S PROPOSAL?**

19 A. Verizon's reasoning is not clear. Verizon may claim that it will be harder to sell
20 its territory if the buyer has to honor Verizon's contract with Bright House. But
21 that just means that Verizon wants to profit, in the form of a higher sales price for

1 its territory, by virtue of imposing potentially very significant costs on Bright
2 House and its customers when the new owner shows up and fails to honor the
3 contract.

4 **Q. COULD BRIGHT HOUSE INTERVENE IN ANY PROCEEDING**
5 **RELATED TO THE SALE OF VERIZON'S SERVING TERRITORY AND**
6 **ATTEMPT TO PROTECT THE ICA IN THAT MANNER?**

7 A. Presumably it could, but that process would be time consuming and expensive for
8 Bright House. There is no need to wait: Bright House knows that it will want the
9 terms of its contract to be honored by any new owner and, once the Commission
10 has resolved the open issues in this proceeding and approved the new contract, it
11 would seem that the Commission as well would want these terms to be honored
12 by the new owner. Moreover, proceedings to approve the sale of territory can be
13 rushed and complicated matters, with the parties to the transaction and the
14 Commission eager to get the deal closed. Even though Bright House's concern
15 that its contract with Verizon continue to be honored is perfectly reasonable, in
16 the context of a proceeding to approve the sale of Verizon's territory, it may
17 appear that Bright House is trying to interfere with an otherwise reasonable deal,
18 when all it is doing is trying to ensure that the terms and conditions it negotiated
19 for, and arbitrated for, are not simply dissolved. Again, that potential result under
20 Verizon's language seems completely unjust and unreasonable in light of Bright
21 House's reasonable expectation that the terms of its ICA will be honored.

1 **Q. MAY THE NEW OWNER NEGOTIATE NEW TERMS AND**
2 **CONDITIONS WHEN THE ICA EXPIRES?**

3 A. Of course. The new owner would also be able to exercise the other rights as
4 established in the ICA while the ICA is in effect.

5 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
6 **#8?**

7 A. The Commission should adopt Bright House's proposed language which modifies
8 Verizon's language, in Section 43.2 of the General Terms and Conditions
9 regarding the sale or transfer of Verizon's territory.

10 ***Issue 16***

11
12 **Issue #16: Should Bright House be required to provide assurance of**
13 **payment? If so, under what circumstances, and what remedies**
14 **are available to Verizon if assurance of payment is not**
15 **forthcoming?**

16 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #16?**

17 A. Verizon has proposed to include language in the agreement, supposedly to protect
18 Verizon in the case of Bright House encountering financial difficulties, in General
19 Terms and Conditions Section 6. The terms, however, are one-sided and
20 potentially oppressive. In light of the actual interconnection relationship between
21 the parties – that is, their actual situation in the marketplace – Bright House has
22 proposed to delete these provisions. As an alternative, Bright House has proposed

1 to make them mutual, that is, have them apply to Verizon as well as Bright House.

2 Verizon has refused.

3 **Q. WHAT IS THE BASIC IDEA BEHIND THE DISPUTED PROVISION?**

4 A. In the past, Verizon has provided services to resellers and other types of CLECs
5 whose business model required complete dependence on Verizon's own facilities
6 and services in order to serve the CLECs' end users. As discussed above, that is a
7 very challenging business model and in many cases these entities went bankrupt
8 after Verizon had provided service to them for some time without getting paid.
9 This is understandably frustrating to Verizon. The end user customer in such a
10 situation was actually physically receiving service from Verizon, using Verizon's
11 network like any other Verizon customer. And the end user customer may well
12 have been paying his or her bills for the service. But the end user was paying
13 their bills to the resale CLEC, not Verizon. If the resale CLEC stopped paying
14 Verizon, then Verizon was left holding the bag. Requiring deposits, letters of
15 credit or similar security from resellers who appeared to be in financial distress is
16 not unreasonable.

17 **Q. BUT YOU ARE OPPOSING THIS PROVISION FOR BRIGHT HOUSE?**

18 A. Yes. Bright House is not a reseller, and, despite some reasonable billing disputes,
19 pays its bills for services rendered. Bright House serves (indirectly) hundreds of
20 thousands of end users in the Tampa/St. Petersburg area using its own facilities
21 and those of its cable affiliate. Verizon interconnects with Bright House and
22 indeed provides services to Bright House by terminating traffic from Bright

1 House's end users to Verizon's end users. Verizon's own end users call Bright
2 House's end users as well, creating a situation in which Verizon routinely incurs
3 substantial payment obligations to Bright House. That is, in the parties' business
4 relationship – and completely unlike the situation with resellers – while Bright
5 House does incur financial obligations to Verizon each month, Verizon also
6 incurs very substantial financial obligations to Bright House each month.

7 **Q. GIVEN THIS BUSINESS RELATIONSHIP, ARE YOU SUGGESTING**
8 **THAT ANY ASSURANCE OF PAYMENT PROVISIONS BE**
9 **SYMMETRICAL OR MUTUAL?**

10 A. Yes. In these circumstances – with each party benefiting from interconnection to
11 the other, and each party exposed to risk that the other might not pay its bills – a
12 reciprocal arrangement might make sense. For instance, if a party were to be late
13 in paying an amount of undisputed bills over a reasonable period such as six
14 months or a year, then the other party could request a deposit or other security in
15 an amount that reflected the other party's *net* financial exposure – that is, the
16 amount the other party is owed, *offset by* the amount that the other party owes for
17 the services it buys.

18 **Q. IF A DEPOSIT OR LETTER OF CREDIT PROCESS WAS AN OPTION,**
19 **HOW WOULD SUCH A REQUEST BE MADE?**

20 A. If an assurance of payment process was put into place, it should have reasonable
21 terms and conditions and include objective and verifiable grounds for requiring
22 security that have some relationship to the magnitude of the problem. Some of

1 those grounds might include failure to pay a material amount of undisputed bills
2 over a significant period of time. Of course these parameters would need to be
3 well defined and based on verifiable information. Parties should never be
4 permitted to demand security arrangements on the mere suspicion that the other
5 party might be having financial troubles, as would be the case with Verizon's
6 proposal. Giving one party the ability to impose potentially significant
7 obligations on the other based on purely subjective criteria is an invitation to
8 disputes and abuse.

9 **Q. ARE THERE ANY OTHER PROBLEMS WITH VERIZON'S PROPOSED**
10 **ASSURANCE OF PAYMENT LANGUAGE?**

11 A. Yes. One of the most oppressive provisions of Verizon's proposed language
12 states that, "Notwithstanding anything else set forth in this Agreement, if Verizon
13 makes a request for assurance of payment in accordance with the terms of this
14 Section, then Verizon shall have no obligation thereafter to perform under this
15 Agreement until such time as Bright House has provided Verizon with such
16 assurance of payment." In other words, if Verizon asks for assurances of
17 payment, it can immediately stop providing any services to Bright House –
18 including the basic service of delivering calls from Bright House's end users to
19 Verizon's end users – until the assurance of payment is established – even if the
20 request is erroneous, unreasonable, or oppressive. This gives Verizon an almost
21 unfettered right to interrupt Bright House's business and services to its customers.
22 Such ability to unilaterally cut-off consumer services is not in the public interest.

1 **Q. EVEN IF THE ASSURANCE OF PAYMENT DID NOT RESULT IN A**
2 **CUT-OFF OF SERVICE, COULD THE PROCESS STILL HARM BRIGHT**
3 **HOUSE?**

4 A. Yes. If Verizon were successful in seeking a letter of credit or deposit, when
5 none was required, it would take monies away from Bright House that could be
6 used to expand service, invest in network facilities, improve or develop new
7 services, etc. Tying up Bright House's resources with letters of credits or
8 deposits, when such are not necessary, simply disadvantages one of Verizon's
9 competitors.

10 **Q. DO YOU BELIEVE THAT VERIZON WOULD ACTUALLY ABUSE**
11 **BRIGHT HOUSE IN THAT WAY?**

12 A. I don't know, but good public policy dictates that such potential outcomes be
13 avoided and prevented.

14 My understanding is that Bright House and Verizon have made various proposals
15 and counter-proposals to each other in order to resolve this matter, but to no avail.
16 As a result, they may yet be able to settle this issue. In the meantime, I
17 recommend that the Commission concur with Bright House and delete the entire
18 "Assurance of Payment" provision from the proposed agreement. In the
19 alternative, the Assurance of Payment language should be modified to apply to
20 both parties.

1 *Issue 21*

2
3 **Issue #21: What contractual limits should apply to the parties' use of**
4 **information gained through their dealings with the other**
5 **party?**

6 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #21?**

7 A. During 2007 and 2008, Verizon and Bright House (along with other cable-
8 affiliated CLECs) engaged in extensive litigation with Verizon regarding
9 Verizon's use of Bright House's (and the other CLECs') confidential information
10 ("ordering information").²¹ Essentially, when Bright House would win a
11 customer and place an order with Verizon to transfer the customer's telephone
12 number and directory listing over to Bright House, Verizon would take that
13 confidential information and use it to immediately start trying to win-back the
14 customer or prevent the customer from leaving in the first place. Bright House
15 argued that this was a violation of federal law, which requires a carrier receiving
16 confidential information of this sort – here, the specific identities of customers
17 who were leaving Verizon, along with the specific timing of their departure – to
18 use that information *only* for the purpose for which it was supplied – here, to
19 perform the administrative tasks associated with transferring the customer from
20 one carrier to the other.

21 After litigation before the FCC (and, to some extent, here before this
22 Commission), the FCC ruled against Verizon, finding that it violated the statute,

²¹ See Bright House Networks, LLC *et al.* v. Verizon California, Inc., *et al.*, *Memorandum Opinion and Order*, 23 FCC Rcd 10704 (2008), *affirmed*, *Verizon California, Inc. v. FCC*, 555 F.3d 270 (D.C. Cir. 2009).

1 and the FCC's rules and rulings, regarding the use of this confidential
2 information. Verizon took its case to federal court on an expedited basis – and,
3 on an expedited basis, received a 3-0 ruling from the D.C. Circuit that the FCC
4 was correct and that Verizon was wrong.

5 **Q. WHAT IS THE RELEVANCE OF VERIZON'S BEHAVIOR REGARDING**
6 **THE "RETENTION MARKETING" RULES FOR THIS ARBITRATION,**
7 **AND FOR ISSUE #21?**

8 A. At a high level, Verizon's behavior regarding retention marketing shows what can
9 happen if the interconnection agreement gives Verizon the discretion to change its
10 behavior merely because Verizon unilaterally changes its mind about what the
11 law requires.

12 As regards Issue #16, Verizon's conduct underlying the retention marketing
13 litigation illustrates just how vulnerable a CLEC can be to a Verizon decision to
14 inappropriately use the confidential information that the CLEC must, as a
15 practical matter, share with Verizon on a day-to-day basis as the parties compete
16 in the marketplace and lose customers to each other. As a result, Bright House
17 has proposed a number of provisions, largely but not entirely in Section 10 of the
18 General Terms and Conditions and Sections 4.5 and 8 of the "Additional
19 Services" attachment, that make Verizon's obligation to protect, and not abuse,
20 Bright House's confidential information exceedingly clear.

21 **Q. IN THESE CIRCUMSTANCES, WHAT DO YOU RECOMMEND THAT**
22 **THE COMMISSION DO WITH RESPECT TO ISSUE #21?**

1 A. I recommend that the Commission adopt Bright House's proposed language that
2 clearly and strictly establishes Verizon's obligation to treat the information it
3 receives from Bright House during the performance of the contract as
4 confidential.²²

5 ***Issue 13***

6 **Issue #13: What time limits should apply to the Parties' right to bill for**
7 **services and dispute charges for billed services?**
8

9 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #13?**

10 A. Bright House proposes to impose a reasonable time limitation that would apply to
11 bills rendered under the agreement, and to disputes arising about those bills.
12 Specifically, Bright House has proposed that if a party doesn't render a bill for a
13 service for more than a year after the service was provided, then the party's right
14 to bill for the service is waived. Similarly, if a party has a dispute it wants to raise
15 about a bill that it has received (and already paid), the party must raise the dispute
16 within a year after the bill is received.²³ Verizon has rejected these proposals, and
17 wants there to be no time limit other than the applicable statute of limitations for
18 claims under a contract (which, as I understand it, is 5 years in Florida) to either
19 bill for services provided under the contract or raise disputes about bills it has
20 already paid.

²² See Exhibits TJG-2 and TJG-3.

²³ Note that the parties agree that if a party wants to dispute a bill that it has received and withhold payment of the disputed amounts, it must raise the dispute by the date that payment of the bill would normally be due. The situation being addressed by Issue No. 13 is one in which a party has paid a bill already, but wants to come back after the fact and raise a dispute about it.

1 **Q. WHY IS BRIGHT HOUSE'S PROPOSAL FAIR AND REASONABLE?**

2 A. Bright House and Verizon exchange massive amounts of traffic every month – in
3 excess of 25 million minutes of use. They each serve (directly or indirectly)
4 hundreds of thousands of customers in the Tampa/St. Petersburg area. As a result,
5 while the net amount that the parties owe each other in any given month may not
6 be large in relation to the size of their respective overall business operations, the
7 absolute amounts due from one party to the other are significant. But, regardless
8 of the size of the bills, without some limit on how far back a party can bill for
9 services rendered, or dispute bills already paid, neither party can have any real
10 certainty regarding where it stands, financially, with respect to its business. A
11 year is more than sufficient time for a party to either bill for services it has
12 provided or object to bills it has already paid. Many providers do not retain
13 billing records past one year anyway, so it would be difficult after that period of
14 time to resolve a billing dispute.

15 **Q. IS VERIZON'S BEHAVIOR REGARDING RETENTION MARKETING,**
16 **DISCUSSED ABOVE IN CONNECTION WITH ISSUE #21, RELEVANT**
17 **HERE?**

18 A. Yes, it is. As discussed above, one of the most troubling aspects of Verizon's
19 behavior during the retention marketing dispute was the fact that after a decade of
20 following the law, Verizon unilaterally changed its practices and started breaking
21 the law. In the context of billing and bill protests, this suggests that years after

1 the fact, Verizon may choose to dispute payments from the past for some
2 unknown reason.

3 **Q. DO YOU CONCEDE THAT THERE MIGHT BE CIRCUMSTANCES**
4 **WHERE A COMPANY MIGHT NOT EITHER BILL OR DISPUTE A**
5 **BILL WITHIN ONE YEAR?**

6 A. Yes. Companies do sometimes make legitimate mistakes and simply fail to bill
7 for, or to protest bills for, services rendered. The question is, who should bear the
8 burden of such mistakes? Bright House's proposal reasonably places that burden
9 on the company that should have billed, or should have protested. Moreover, in
10 light of Verizon's history, it is only fair and prudent to put some reasonable
11 contractual limits on the degree of financial exposure that Bright House must
12 bear. Bright House's proposed one-year limit on back-billing and bill protests
13 strikes a fair and reasonable balance on this issue.

14 **Q. IN LIGHT OF THESE CONSIDERATIONS, WHAT SHOULD THE**
15 **COMMISSION DO WITH REGARD TO ISSUE #13?**

16 A. The Commission should adopt Bright House's proposal to impose a reasonable,
17 one-year limit on back-billing and after-the-fact bill protests.

18 *Issue 20*

19
20 **Issue #20: (a) What obligations, if any, does Verizon have to reconcile**
21 **its network architecture with Bright House's?**

22 **(b) What obligations, if any, does Bright House have to**
23 **reconcile its network architecture with Verizon's?**

1 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #20?**

2 A. Verizon proposes in Section 42 of the General Terms and Conditions, that
3 Verizon retains the right to modify and upgrade its network over time. This is a
4 reasonable provision. But Verizon then demands (unreasonably) that no matter
5 what Verizon does to its network, or why, Bright House is completely responsible
6 for absorbing any costs Verizon's actions might impose on Bright House. Bright
7 House recommended that the language either be deleted, or be made mutual.

8 **Q. IF THIS LANGUAGE IS INCLUDED, WHY IS IT IMPORTANT FOR IT**
9 **TO BE MUTUAL?**

10 A. First of all, it appears that Bright House, not Verizon, offers the technologically
11 more advanced services which suggests that Bright House is investing in network
12 upgrades. Second, both parties provide connectivity (directly or indirectly) to
13 literally hundreds of thousands of customers in the Tampa/St. Petersburg area.
14 Given that both parties are supporting a large portion of the market, it only makes
15 sense that the provision be mutual. Each party should be free to modify and
16 upgrade its network, and each party is obliged to accommodate, within its own
17 network, the effects of the other party's upgrades. Verizon rejected this
18 suggestion, leading to this dispute.²⁴

19 **Q. DO YOU HAVE ANY IDEA WHY VERIZON WANTS TO INCLUDE**
20 **THIS PROVISION?**

²⁴ I should note that Bright House has also proposed, at various points, either (a) deleting this provision of the agreement entirely or (b) deleting the last sentence of the provision, dealing with cost responsibility. Bright House would still accept either of those options.

1 A. As noted above, one type of competitor, more prominent in years past than today,
2 relies heavily on UNEs from Verizon's own network to provide services. In this
3 regard, the FCC has ruled, for example, that Verizon has to provide copper loops
4 as UNEs, but is not required – at least in some circumstances – to provide fiber
5 optic loops on an unbundled basis.²⁵ In that context, I can understand that
6 Verizon would want to retain a right to upgrade its loops from copper to fiber,
7 without having to bear the costs of the competitor in accommodating that change.
8 Unfortunately, though, it appears that Verizon took this one concern, which it
9 should have put somewhere in the section of the contract relating to UNEs, and
10 generalized it to apply to any technology upgrade of any kind, in any
11 circumstance.

12 **Q. IS THERE ANY REASONABLE BASIS TO ACCEPT VERIZON'S**
13 **PROPOSED LANGUAGE IN THE CONTEXT OF A FACILITIES-BASED**
14 **CARRIER LIKE BRIGHT HOUSE, AS OPPOSED TO SOMETHING**
15 **THAT IS LIMITED TO ITS RELATIONSHIP WITH UNE-BASED**
16 **COMPETITORS?**

17 A. No. While Verizon has certain obligations that apply only to ILECs, as a practical
18 matter Bright House and Verizon stand are similarly situated in the Tampa/St.
19 Petersburg area, each one with a very substantial base of end users and each one
20 sending a massive amount of traffic to, and receiving a massive amount of traffic
21 from, those end users. Verizon's position with respect to this issue seems to stem

²⁵ See, for instance, the FCC's Triennial Review Order at ¶ 273. (FCC 03-36; Released: August 21, 2003)

1 from a view that its network is the proverbial “800 pound gorilla” to which all
2 other networks must defer. Even if that was true fourteen years ago when the Act
3 was passed, it is not reasonable to take that stance now. The market has evolved
4 to the point where, to the contrary, competing networks, such as Bright House, are
5 sufficiently substantial and established that one can no longer simply assume that
6 what Verizon does should be followed by, and accommodated by, other providers
7 with which Verizon interconnects.

8 **Q. DO YOU HAVE ANY ADDITIONAL POINTS REGARDING THIS**
9 **ISSUE?**

10 A. Yes. I find it interesting that Verizon objects to the notion that it might be called
11 upon to spend money to modify its network to accommodate changes that Bright
12 House might choose to make in *its* own operations. In fairness to Verizon, it is
13 indeed disconcerting to think that the actions of a rival, physically distinct
14 network, over which Verizon has no control, could nonetheless impose substantial
15 costs on Verizon. But while Verizon recognizes that this seems odd and even
16 unfair when *Verizon* might be the one required to respond, Verizon seems blind to
17 the fact that this is exactly the burden it wants to impose on Bright House. As a
18 result, if the Commission credits Verizon’s worries that it would be unfair or
19 unreasonable for Verizon to have to accommodate, at its own expense, changes in
20 Bright House’s network, it is equally unfair and unreasonable to expect Bright
21 House to accommodate, at *its* own expense, changes in Verizon’s network. In
22 that case, the better course would be to adopt one of Bright House’s alternative

1 proposals – either deleting the provision that deals with the assignment of cost
2 responsibility, or deleting the entire contract section.

3 **Q. WHICH POSITION SHOULD THE COMMISSION ADOPT WITH**
4 **RESPECT TO ISSUE #20?**

5 A. The Commission should either adopt Bright House’s proposal to make proposed
6 Section 42 of the General Terms and Conditions entirely mutual, or adopt one of
7 Bright House’s alternative suggestions noted just above.

8 *Issue 22(a)*

9
10 **Issue #22: (a) Under what circumstances, if any, may Bright House**
11 **use Verizon’s Operations Support Systems for purposes other**
12 **than the provision of telecommunications services to its**
13 **customers?**

14 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #22(a)?**

15 A. It is not clear that there is a real dispute at this time. The underlying issue relates
16 to the fact that Bright House does not serve end user customers directly but,
17 instead, provides wholesale telephone exchange services to its cable affiliate,
18 BHN, which then uses those services to provide an unregulated interconnected
19 VoIP service to end users.

20 **Q. IS IT COMMON FOR AN INTERCONNECTED VOIP PROVIDER TO**
21 **RECEIVE TELECOMMUNICATIONS SERVICES FROM A COMPANY**
22 **LIKE BRIGHT HOUSE?**

1 A. Yes. An interconnected VoIP service provider, like BHN, normally obtains
2 telephone numbers and similar services from a wholesale provider – here, Bright
3 House – on behalf of its end users.

4 **Q. WHAT THEN IS THE CONCERN?**

5 A. Bright House was concerned that Verizon might argue – based on the precise
6 language of Verizon’s draft contract – that Bright House was not entitled to have
7 access to Verizon’s Operations Support Systems (the computerized systems for
8 handling service orders and related functions) in connection with Bright House’s
9 VoIP “end users” – the customers obtaining VoIP service from BHN.
10 Specifically, Verizon’s language provided as follows: “8.4.2: Verizon OSS
11 Facilities may be accessed and used by [Bright House] only to provide
12 Telecommunications Services to [Bright House] Customers.” Bright House
13 provides its telecommunications services to its affiliate – the interconnected VoIP
14 provider – and not to individual end users directly. As a result, Bright House was
15 concerned that Verizon might try to block Bright House’s access to Verizon’s
16 OSS, on the theory that the language noted above barred the use of the OSS in
17 connection with VoIP end users.

18 **Q. WHY DO YOU SAY THAT THERE MAY NOT BE AN ACTUAL**
19 **DISPUTE HERE?**

20 A. As noted above, the parties have been negotiating solutions to a variety of their
21 disputes as this arbitration has been ongoing. One of their areas of disagreement
22 had to do with the language used to describe what kinds of traffic the parties

1 would exchange using their interconnection arrangements. Bright House was
2 concerned that Verizon might take the position that the VoIP-originated traffic
3 from its end users – the VoIP customers of Bright House’s cable affiliate – was
4 not proper for exchange under the agreement.

5 **Q. HAVE THE PARTIES REACHED AN AGREEMENT ON THAT**
6 **LANGUAGE?**

7 A. It appears so. The parties were able to reach agreement on that language, and to
8 agree that the fact that Bright House’s end users were VoIP customers of Bright
9 House’s affiliate did not provide a basis for refusing to exchange the traffic. As a
10 result, it does not appear that Verizon is proposing to rely on the fact that Bright
11 House is a wholesale provider of services to its cable affiliate as a basis for trying
12 to limit Bright House’s interconnection and related rights. If all that is true, then
13 there is almost certainly no substantive dispute here, and I would expect the
14 parties to work out mutually acceptable language very shortly.

15 **Q. SUPPOSE THERE ISN’T AGREEMENT?**

16 A. In that case, the Commission should adopt Bright House’s proposal. As I
17 discussed earlier in my testimony, the way that facilities-based competition has
18 actually developed, CLECs providing connectivity to interconnected VoIP
19 providers are giving consumers an alternative to traditional ILEC landline service.
20 It is essential that the terms and conditions associated with the access of a
21 wholesale CLEC, like Bright House, to an ILEC’s OSS (and other interconnection
22 arrangements) recognize this market reality. In order for those terms and

1 conditions to be just and reasonable in light of the market, they must permit the
2 wholesale CLEC to have the necessary access to the ILEC's systems, even if the
3 underlying VoIP service is not ultimately deemed to be a telecommunications
4 service.

5 ***Issue 4***

6
7 **Issue #4: (a) How should the ICA define and use the terms**
8 **"Customer" and "End User"?**

9 **Q. WHAT IS THE ACTUAL DISPUTE UNDERLYING ISSUE # 4(a)?**

10 A. As with Issue #22(a), there may not be a dispute at all. As noted, Bright House
11 provides wholesale telephone exchange service to its cable affiliate, which
12 provides unregulated VoIP service to end users. The ICA refers to a party's
13 "customers" or "end users" in various ways. In order for those provisions to
14 make sense in the case of a wholesale CLEC like Bright House, it is important
15 that the terms "customer" and "end user" be defined in such a way that the
16 ultimate consumer who receives the VoIP service – but who is connected to the
17 public telephone network by means of the wholesale CLEC – gets treated as the
18 CLEC's "customer" or end user. As discussed above, it does not appear, as of the
19 date of filing this testimony, that there is actual disagreement between the parties
20 on this fundamental point. As a result, I would not be surprised if the parties were
21 to reach a resolution of this issue in the near future.

22 **Q. WHAT ARE SOME EXAMPLES OF REFERENCES TO "CUSTOMERS"**
23 **OR "END USERS" WHERE THIS ISSUE MIGHT COME UP?**

1 A. There are several that are material to Bright House's operations. One example is
2 the rights of Bright House's "customers" or "end users" to have listings in
3 Verizon's telephone directories. The whole point of a directory is to allow
4 consumers to be able to find listing information about other consumers who
5 choose to have their information listed. Obviously it is necessary to include
6 Bright House's ultimate VoIP "end users" in this category. Similarly, E911
7 service is a critical public safety concern. The FCC has obliged interconnected
8 VoIP providers to ensure that their customers have access to E911 functionality to
9 the extent possible, and has directed LECs to cooperate with each other to ensure
10 that occurs. As a result, references to "customers" or "end users" in the E911
11 context must, obviously, refer to Bright House's ultimate VoIP "end users."

12 Yet another example is local number portability. The FCC has ruled that
13 subscribers to interconnected VoIP services have the same right to retain and port
14 their telephone numbers when they change providers – either when they transfer
15 to VoIP service from an ILEC, or when they transfer from a VoIP service to
16 service offered directly by a LEC. In this context as well, it is necessary that the
17 terms "customer" or "end user" refer to the ultimate consumers who obtain VoIP
18 service from Bright House's affiliate.

19 **Q. DO YOU THINK THAT VERIZON DISAGREES WITH THESE POINTS?**

20 A. Given that the parties were able to reach agreement, in the interconnection/traffic
21 exchange context, that it doesn't matter whether a call originates on a VoIP
22 service or with a more traditional telephone line, I would expect, as noted above,

1 that these issues are not problematic for Verizon. Nevertheless, this issue is so
2 important to the efficient operation of the market that it should be resolved
3 without any doubt.

4 **Q. IF IT TURNS OUT THAT THERE IS A DISPUTE ABOUT THESE**
5 **POINTS, WHAT SHOULD THE COMMISSION DO?**

6 A. As described above, there is substantial competition in the market for residential
7 customers which has developed primarily through cable-affiliated VoIP service.
8 In order to facilitate and enable this competition, it is necessary to treat the
9 ultimate VoIP consumers as Bright House's "customers" or "end users" within
10 the context of the ICA. Therefore, if the parties are not able to work out this
11 issue, the Commission should adopt Bright House's suggested language defining
12 "Customer" and "End User" in a way that expressly includes the ultimate VoIP
13 consumers.

14 ***Issue 22(b)***

15 **Issue #22: (b) What constraints, if any, should the ICA place on**
16 **Verizon's ability to modify its OSS?**
17

18 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #22(b)?**

19 A. This issue has several parts. The issue literally relates to the terms and conditions
20 applicable to Verizon's OSS, including Verizon's right to make changes to those
21 systems. In a broader sense it relates to Bright House's general concern that
22 Verizon not be permitted to vary any of the material terms of the parties' contract
23 without negotiating those changes with Bright House first.

1 **Q. BY WAY OF BACKGROUND, WHAT IS VERIZON’S “OPERATIONS**
2 **SUPPORT SYSTEM,” OR “OSS”?**

3 A. This is a computerized system used to handle a variety of administrative functions
4 involved in managing the interconnection relationship between Bright House and
5 Verizon. For example, when a Verizon customer chooses to take service from
6 Bright House, Bright House submits a “Local Service Request” or “LSR” to
7 Verizon’s OSS indicating that the customer’s Verizon service should be canceled,
8 the customer’s number ported to Bright House, etc. This submission is entirely
9 automated through electronic data interchange or “EDI”.²⁶ Specifically, Bright
10 House has a contractor who, on Bright House’s behalf, is electronically linked
11 with Verizon’s OSS. The contractor will populate the appropriate fields of an
12 electronic, on-screen form with the relevant information and then – essentially
13 with the push of a button – transmit the data to Verizon.

14 **Q. WHAT IS THE SPECIFIC LANGUAGE IN DISPUTE WITH REGARD TO**
15 **THIS ISSUE?**

16 A. There are three contract provisions at issue, all in the “Additional Services
17 Attachment” to the contract. These are:

²⁶ EDI is the process whereby two providers electronically exchange information for placing orders (like local service requests) billing, etc. EDI is much more efficient than manual processes, especially for large amounts of information. Further, because EDI is electronic, there is less human intervention which limits the potential for input or processing errors.

1 **Section 8.2.1**, in which Bright House proposes to ensure that Verizon will provide
2 for electronic OSS ordering for any service provided under the interconnection
3 agreement.

4 **Section 8.2.3**, in which Bright House has proposed language to require Verizon to
5 provide commercial reasonable advance notice of any changes to its OSS and to
6 ensure that Verizon cannot impose payment obligations on Bright House by
7 unilaterally amending its OSS-related “Change Management Guidelines”

8 **Section 8.8.2**, in which Bright House has proposed language to clarify that any
9 limitations Verizon imposes on volume of use of OSS are commercially
10 reasonable.

11 **Q. WHY ARE BRIGHT HOUSE’S PROPOSED CHANGES NECESSARY?**

12 A. As a practical matter, given the volume of transactions between Bright House and
13 Verizon regarding customers shifting from one to the other, the only way to
14 ensure that the transactions occur smoothly is to handle them electronically.
15 Using manual processes (such as graphical user interfaces or faxes) would be
16 labor intensive and time consuming. In addition, human intervention results in
17 unnecessary errors. It is therefore necessary for Bright House to make use of
18 Verizon’s electronic OSS (just as Verizon makes use of Bright House’s electronic
19 OSS).

20 **Q. DO YOU AGREE THAT VERIZON OWNS ITS OSS AND THAT IT MAY**
21 **MAKE CHANGES TO THE OSS OVER TIME?**

1 A. Yes. Nevertheless, there must be some constraints on the degree to which
2 Verizon can modify its OSS during the term of the contract. Bright House's
3 proposed language is designed to impose those reasonable constraints without
4 impairing Verizon's ability to manage its own OSS.

5 **Q. WHAT SPECIFIC CONSTRAINTS DOES BRIGHT HOUSE SEEK TO**
6 **IMPOSE ON VERIZON'S OSS?**

7 A. First, in Section 8.2.1, Bright House proposes that the ordering of any service that
8 Verizon provides to Bright House under the contract be handled via the OSS. As
9 noted above, this is simple business practicality. Bright House and Verizon are
10 both large entities, serving hundreds of thousands of end users, and things would
11 grind to a halt if any substantial number of orders for services had to be submitted
12 via a manual process. The Commission should direct the parties to include Bright
13 House's proposed language in Section 8.2.1 that reflects this requirement.

14 Next, in Section 8.2.3, Bright House has suggested two reasonable requirements.
15 First, while acknowledging that Verizon may modify the details of how its OSS
16 operates, Bright House proposes to require that Verizon provide "commercially
17 reasonable" advance notice of any such changes. Bright House proposes to use
18 that general standard, rather than any specific deadline for advance notice,
19 because what is commercially reasonable will vary with the circumstances. It
20 might be commercially reasonable to implement a minor change in the
21 information to be included in some field on an electronic form with three months
22 notice; on the other hand, if Verizon were to undertake some major revision of the



1 electronic parameters for the submission of key industry forms, such as the Local
2 Service Request, or LSR, it could be that a full year advance notice might be
3 needed to reasonably allow Bright House to accommodate the change in its own
4 systems.

5 In this regard, the real point of the “commercially reasonable” notice provision is
6 to ensure that Verizon and Bright House have a reasonable opportunity to discuss
7 any pending changes in the system and, if need be, to negotiate regarding how
8 much advance notice is reasonable in the circumstances.

9 Second, while acknowledging that Verizon may modify its Operations and
10 Support *Systems* without getting advance approval from Bright House for any
11 changes, Bright House has proposed language to make clear that Verizon’s right
12 to make such “systems” changes – technical matters relating to the form and
13 format of submissions to Verizon – cannot and does not include the right to
14 unilaterally create chargeable events and chargeable services out of order
15 processing or other activities that are not subject to charges today.

16 The Commission should approve both of these changes.

17 Finally, in Section 8.8.2, while Bright House acknowledges that Verizon may
18 impose limitations on the volume of orders that can be submitted via its electronic
19 OSS, Bright House proposes language that any such limitations on volume be
20 commercially reasonable. Again, Bright House does not actually expect difficulty
21 with Verizon on this score. But, with the contract language Verizon has
22 proposed, it would be literally possible under the contract for Verizon to declare

1 that it will not accept more than (say) 10 LSRs per day transferring customers
2 from Verizon to Bright House – thus using artificial limitations on the number of
3 orders its OSS can process as a means to slow down the rate at which Bright
4 House can win customers from Verizon in the marketplace. By requiring any
5 volume limitations imposed with respect to its OSS to be commercially
6 reasonable, Bright House’s language would preclude this kind of anticompetitive
7 situation from arising. The Commission, therefore, should approve this language
8 as well.

9 ***Issue 23***

- 10
11 **Issue #23. (a) What description, if any, of Verizon’s general obligation**
12 **to provide directory listings, should be included in the ICA?**
- 13 **(b) What rate, if any, should apply to Verizon’s inclusion**
14 **and modification of Bright House directory listings?**
- 15 **(c) To what extent, if any, should the ICA require Verizon**
16 **to facilitate Bright House’s negotiating a separate agreement**
17 **with Verizon’s directory publishing company?**

18 **Q. WHAT IS THE TOPIC OF THE DISPUTE UNDERLYING ISSUE #23?**

19 A. Issue #23 relates to the parties’ disagreements regarding Verizon’s provision of
20 directory listings (“DLs”) for Bright House’s end users (that is, the subscribers to
21 the interconnected VoIP service offered by Bright House’s affiliate, who obtain
22 network connectivity through Bright House). I note that I have been informed
23 that the parties have reached a settlement regarding the rates that Verizon will
24 charge for including listings for Bright House’s end users in Verizon’s directories
25 and databases. Issue #23(b), therefore, is no longer in dispute. Furthermore,

1 because Bright House and Verizon agree on what Bright House will be charged
2 for DLs during the term of their new ICA, Bright House no longer requires
3 Verizon's assistance in trying to establish a separate agreement with Verizon's
4 publisher. Issue #23(c), therefore, should be considered resolved as well.

5 **Q. PLEASE DEFINE A DIRECTORY LISTING.**

6 A. In simple terms, a directory listing is the customer's name, phone number, and
7 address that are published in a directory, such as a telephone book, or included in
8 a directory database, such as that used when a caller dials "411." The Act itself
9 requires all LECs to provide competing providers with "*nondiscriminatory* access
10 to ... directory listing."²⁷ The FCC has interpreted the term "directory listing" to
11 mean "the act of placing a customer's listing information in a directory assistance
12 database or in a directory compilation for external use (such as a white pages)."²⁸

13 **Q. PLEASE DESCRIBE THE POSITIONS OF VERIZON AND BRIGHT**
14 **HOUSE ON DLs.**

15 A. First, the parties disagree about how Verizon's general obligation to provide
16 listings should be characterized. Second, they disagree about whether Verizon
17 should be obliged to facilitate the negotiation of possible direct arrangements
18 between Bright House and Verizon's directory publishing company. As of the

²⁷ 47 U.S.C. § 251(b)(3) (emphasis added).

²⁸ *Implementation of the Telecommunications Act of 1996: Telecommunications Carriers' Use of Customer Proprietary Network Information and Other Customer Information, Implementation of the Local Competition Provisions of the Telecommunications Act of 1996, Provision of Directory Listing Information under the Telecommunications Act of 1934 [sic], As Amended*, CC Docket Nos. 96-115, 96-98, 99-273, Third Report and Order, Second Order on Reconsideration, and Notice of Proposed Rulemaking, 14 FCC Rcd 15550, ¶ 160 (1999) ("*SLI/DA Order*").

1 date of this testimony, Verizon and Bright House disagree about at least the first
2 two of these items.

3 **Q. PLEASE DESCRIBE THE CONCERN REGARDING HOW VERIZON'S**
4 **DUTY TO PROVIDE DLs IS CHARACTERIZED IN THE CONTRACT?**

5 A. Let me first state that the parties may well be able to reach an agreement on this
6 issue, which relates to contract language rather than rates, now that they have
7 reached agreement on rates. So, I would not be surprised to report in my rebuttal
8 testimony that this issue has been resolved as well. For now, however, I would
9 note the following. As the Commission may recall, Bright House and Verizon
10 had a substantial dispute regarding DLs under their current agreement. While
11 Bright House is hopeful that no such disputes will arise under the agreement
12 being established in this proceeding, it is reasonable for Bright House to be
13 concerned about that issue. As a result, Bright House wants the new agreement to
14 accurately state the scope of Verizon's obligation to provide DL functions to
15 Bright House. Verizon's proposed language does not accomplish that purpose.

16 **Q. PLEASE EXPLAIN HOW VERIZON'S PROPOSAL DEFINES ITS DL**
17 **OBLIGATIONS.**

18 A. Verizon's proposed language describing its obligation is, "To the extent required
19 by Applicable Law, Verizon will provide directory services to [Bright House].
20 Such services will be provided in accordance with the terms set forth herein."
21 Bright House, however, proposes the following: "Verizon will provide directory

1 and listing services to Bright House on a just, reasonable and nondiscriminatory
2 basis as required by Applicable Law and as specified herein.”

3 The difference between the two formulations boils down to this: Bright House
4 wants the fact that Verizon’s provision of DL services must be “just, reasonable
5 and nondiscriminatory” to appear on the face of the contract so that, if there is any
6 dispute about directory issues in the future, there will at least be no dispute about
7 the relevant legal/regulatory standard to apply. At the same time, Bright House is
8 concerned that Verizon objects to Bright House’s proposed language. If Verizon
9 takes the position that it is *not* obliged to offer directory listings and services “on
10 a just, reasonable and nondiscriminatory basis,” Bright House would like to
11 understand that Verizon contention now so that it can be sorted out in advance.

12 **Q. WHAT SHOULD THE COMMISSION DO WITH REGARD TO THIS**
13 **ASPECT OF THE DIRECTORY LISTING ISSUE?**

14 A. The Commission should direct the parties to include Bright House’s proposed
15 language into the agreement.

16 ***Issue 24***

17 **Issue #24 Is Verizon obliged to provide facilities from Bright House’s**
18 **network to the point of interconnection at TELRIC rates?**
19

20 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #24?**

21 A. The parties agree that in order to exchange traffic, Bright House is obliged to
22 “show up” at an appropriate point “on Verizon’s network” in order to physically

1 link their networks so that traffic can flow between them. They also agree that
2 Bright House may physically “get to” Verizon’s network either by building its
3 own facilities; by purchasing facilities from a third party; or by purchasing
4 facilities from Verizon. Issue #24 relates to this third option.

5 I should note at the outset that I have been informed that the parties have reached
6 a settlement regarding the charging that will apply to the specific current
7 configuration that Bright House uses to interconnect with Verizon. However, I
8 have also been informed that the settlement only applies as long as that specific
9 configuration “remains materially unchanged.” Obviously, Bright House may
10 well need or want to modify its interconnection arrangements with Verizon during
11 the term of the new ICA – for example, by establishing fiber meet points, as
12 discussed in connection with Issue #26, Issue #27, and Issue #28. It is therefore
13 important for the Commission to address the principles that govern the pricing of
14 interconnection facilities at this time.

15 **Q. PLEASE PROVIDE THE POLICY AND ECONOMIC CONTEXT IN**
16 **WHICH THIS DISPUTE ARISES.²⁹**

17 **A.** Certainly. As I noted above, the physical interconnection of competing networks
18 for the efficient exchange of traffic between them is an absolutely critical
19 foundation for competition in this industry to occur. When Congress established
20 the new competitive industry structure in the 1996 Act, therefore, it addressed

²⁹ This economic and policy context is relevant to a number of the issues in dispute between the parties, including, in whole or in part, Issue #20, Issue #24, Issue #26, Issue #27, Issue #28, Issue #32, Issue #33, Issue #36, Issue #37, Issue #38, and Issue #39.

1 both of these issues specifically. With regard to the physical linking of competing
2 networks, Congress specified both the kinds of interconnection that a competitor
3 would be entitled to use, and the prices that would apply to that interconnection;
4 the FCC followed up with regulations and rulings further clarifying these matters.

5 **Q. HOW DOES THE 1996 ACT DESCRIBE THE PHYSICAL**
6 **INTERCONNECTION ARRANGEMENTS THAT ARE AVAILABLE TO**
7 **COMPETING NETWORKS SUCH AS BRIGHT HOUSE?**

8 A. The 1996 Act states that an ILEC such as Verizon must provide:

9 For the facilities and equipment of any requesting
10 telecommunications carrier, interconnection with the [ILEC's]
11 network (A) for the transmission and routing of telephone
12 exchange service and exchange access; (B) at any technically
13 feasible point within the [ILEC's] network; (C) that is at least
14 equal in quality to that provided by the [ILEC] to itself or to any
15 subsidiary, affiliate, or any other party to which the carrier
16 provides interconnection; (D) on rates, terms and conditions that
17 are just, reasonable, and nondiscriminatory, in accordance with the
18 terms and conditions of the agreement and the requirements of this
19 section and section 252.

20 47 U.S.C. § 251(c)(2). I would note that the FCC has defined "interconnection"
21 for these purposes to be the physical arrangements for linking two networks
22 together. While the purpose of interconnection is obviously to exchange traffic,
23 as the language above indicates, the pricing and related rules for traffic exchange
24 itself – as opposed to the network facilities used to establish interconnection – is
25 governed by Section 251(b)(5) of the Act, not Section 251(c)(2).³⁰

³⁰ The parties' disagreements with respect to payments for traffic they exchange are addressed below, principally in my discussion of Issue # 28.

1 Q. WHAT RULES GOVERN THE PRICING OF AND/OR CHARGES FOR
2 NETWORK INTERCONNECTION ARRANGEMENTS?

3 A. After decades of experience with setting rates under the generic “just and
4 reasonable” standard that applies to tariffs, Congress concluded that the
5 traditional ratemaking rules used to set tariffed rates should not apply to
6 competitive interconnection arrangements under the 1996 Act. Those traditional
7 ratemaking rules typically look at the historical or embedded costs that a carrier
8 incurred in the past to set up its network and that are reflected on the carrier’s
9 accounting records. Those historical costs are then augmented by a reasonable
10 rate of return on investment to produce a traditional “just and reasonable” rate.
11 Congress concluded that to encourage efficiency in carrier-to-carrier
12 interconnection arrangements between competing networks, a very different
13 standard was required. It embodied this new standard in Section 252(d)(1) of the
14 1996 Act, stating that:

15 The just and reasonable rate for the interconnection of facilities
16 and equipment for purposes of subsection (c)(2) of section 251 ...
17 (A) shall be – (i) based on the cost (*determined without reference*
18 *to a rate-of-return or other rate-based proceeding*) of providing
19 the interconnection ..., and (ii) nondiscriminatory and (B) may
20 include a reasonable profit.

21 47 U.S.C. § 252(d)(1) (emphasis added). The emphasized language makes clear
22 that while the “cost” of providing network interconnection arrangements is
23 relevant, the traditional cost standard based on historical rate-base, rate-of-return
24 regulation may not be used.

1 **Q. WHAT ARE THE KEY POLICY AND ECONOMIC PRINCIPLES**
2 **EMBODIED IN THESE RULES?**

3 A. From a policy and economic perspective, there are several key features of the
4 1996 Act's rules governing network interconnection. First, interconnection must
5 be provided at "any technically feasible point." That means that the ILEC cannot
6 dictate to the CLEC where interconnection must occur. While technically
7 feasible points obviously include the ILEC's actual switches, it is completely
8 feasible to interconnect at other ILEC equipment as well, including fiber optic
9 terminals, multiplexing equipment, DACCS (Digital Access and Cross-Connect
10 Systems) equipment, via splicing together optical fiber (as in a fiber meet), etc.

11 Second, the 1996 Act obliges the ILEC to provide to the CLEC interconnection
12 that is equal in quality to any interconnection that the ILEC provides to any other
13 party – itself, its subsidiaries, any other affiliates, and "any other party" with
14 which the ILEC physically interconnects. The obvious purpose of this
15 requirement is to ensure that ILECs cannot, in effect, disadvantage CLECs by
16 forcing them to use obsolete or inferior physical interconnection arrangements
17 while the ILEC itself uses more modern arrangements, or supplies more modern
18 arrangements to other carriers or to large customers. As a matter of policy, this is
19 a critical requirement, because the standard of what constitutes "equal quality"
20 interconnection will automatically improve and advance as the ILEC improves

1 and advances the technology it uses to interconnect different parts of its own
2 network, or that it uses to connect to other carriers or large customers.³¹

3 Third, by expressly forbidding reliance on the traditional ratemaking methodology
4 used to set tariffed rates, Congress was insisting that the prices that a CLEC can
5 be charged in connection with establishing interconnection arrangements not
6 become some sort of “profit center” or “line of business” for the ILEC. By
7 banning reliance on the historical, rate-base, rate-of-return approach for setting
8 prices for interconnection facilities and arrangements, Congress wanted to ensure
9 that CLECs only pay the costs that would be incurred for the arrangements by an
10 efficient ILEC, using the most modern technology currently available. While an
11 ILEC and a CLEC can certainly agree that a tariffed rate might be acceptable for
12 some facilities in some situations, an ILEC cannot require the use of traditional
13 tariffed rates, for the simple reason that such rates are not set under, and do not
14 reflect, the pricing rule that Congress laid out.

15 **Q. HOW DID THE FCC INTERPRET AND APPLY THIS NEW PRICING**
16 **STANDARD?**

17 A. The FCC concluded that the prices for interconnection arrangements must be
18 priced according to a cost standard called “*TELRIC*,” which stands for “total
19 element long run incremental cost.” Although the details of the *TELRIC*

³¹ I refer to connections with “customers” because the statute refers to “interconnection” with “any other party.” Large, sophisticated business customers that operate private networks have traditionally been in the vanguard of adopting new and more efficient network technology. By referring to “any other party” rather than, for example, “any other *carrier*,” it is clear that Congress wanted to embrace interconnection arrangements provided to customers with private networks within the scope of the “equal in quality” rule.

1 methodology are complicated, at a high level, the standard asks the question,
 2 “How would an efficient ILEC, using the most efficient available technology,
 3 provide the interconnection arrangement requested by the CLEC, and how much
 4 would it cost for an efficient ILEC to do so?”³² Specifically, in the section of its
 5 rules regarding TELRIC pricing (which the FCC specifically states applies to
 6 “interconnection,” *see* 47 C.F.R. § 51.501(a), (b)), the FCC states:

7 *Efficient network configuration.* The total element long-run
 8 incremental cost of an element [or interconnection arrangement]
 9 should be measured based on the use of the most efficient
 10 telecommunications technology currently available and the lowest
 11 cost network configuration, given the existing location of the
 12 [ILEC’s] wire centers.

51.505(b)(1).

13 47 C.F.R. § ~~51.505(b)(1)~~. I should note, in case there is any concern about the
 14 point, that the FCC specifically states that when it uses the term “element” in its
 15 discussion of the TELRIC standard, that includes interconnection arrangements:

16 As used in this subpart, the term “element” includes network
 17 elements, *interconnection, and methods of obtaining*
 18 *interconnection* and access to unbundled elements.

19 47 C.F.R. § 51.501(b) (emphasis added). So, while a great deal of discussion has
 20 arisen over the years regarding the application of the TELRIC standard to
 21 unbundled network elements, or UNEs, the FCC has been very clear from the
 22 beginning that the same efficient, forward-looking pricing methodology applies to

³² The FCC’s TELRIC definitions and guidelines are found in the *Local Competition Order* at paragraphs 674-703, and in Sections 51.501-51.513 of the FCC’s rules. As discussed in the text following this note, while those rules generally refer to pricing “elements” of the ILEC’s network, the exact same economic pricing principles apply to arrangements for interconnection of networks.

1 interconnection arrangements under Section 251(c)(2) as well as to UNEs under
2 Section 251(c)(3).³³

3 So, the answer to the question above – “What costs would be incurred by an
4 *efficient* ILEC using ‘the most efficient telecommunications technology currently
5 available?’” – determines what Verizon may charge Bright House for whatever
6 technically feasible interconnection arrangement Bright House requests from
7 Verizon.

8 **Q. CAN YOU SUMMARIZE THE FCC’S RULES ON HOW A TELRIC**
9 **RATE IS TO BE DEVELOPED?**

10 A. Yes. The pricing rules are designed to “produce rates for monopoly elements and
11 services that approximate what the incumbent LEC would be able to charge if
12 there were a competitive market for such services.”³⁴ The economic principles
13 identified and embodied within the TELRIC standard are summarized below. I
14 have included the relevant paragraphs from the *Local Competition Order*
15 supporting the concept:

16 Principle # 1: The firm should be assumed to operate in the long run. (¶ 677
17 and 692)

³³ In this regard, I would note that there are a number of considerations regarding the availability of UNEs that do not arise in the context of establishing interconnection between networks. For example, before a UNE is made available, it must be established that failure to provide it would “impair the ability of the [CLEC] ... to provide the services it seeks to offer.” 47 U.S.C. § 251(d)(2)(B). Similarly, if a UNE is deemed “proprietary” to the ILEC, the CLEC is only entitled to it if such access is “necessary.” 47 U.S.C. § 251(d)(2)(A). These limitations have proven quite controversial over the years, leading to a great deal of litigation before the FCC and in court, with the FCC modifying its position in various ways over time. But none of that controversy has any application to the issue of efficient network interconnection under Section 251(c)(2), because interconnection for the purpose of traffic exchange is not a UNE.

³⁴ *Local Competition Order* at ¶ 738.

1 Principle # 2: The relevant increment of output should be total company
2 demand for the unbundled network element in question. (§ 690)

3 Principle # 3: Technology choices should reflect least-cost, most efficient
4 technologies. (§ 685 and 690)

5 Principle # 4: Costs should be forward-looking. (§ 679, 682 and 692)

6 Principle # 5: Cost identification should follow cost causation. (§ 622 and 691)

7 In summary, the use of TELRIC costing principles ensures that rates reflect a
8 measure of the costs that would be incurred by an efficient supplier of a particular
9 network element.

10 **Q. DOESN'T THIS PRICING STANDARD CREATE THE POSSIBILITY**
11 **THAT THE ILEC WILL "LOSE MONEY" ON THE**
12 **INTERCONNECTION ARRANGEMENTS IT PROVIDES TO CLECS?**

13 A. I suppose it does, if you start from the assumption that the ILEC is entitled to
14 recover its historical, accounting-based costs for inefficient interconnection
15 arrangements that it provides to CLECs. But that assumption is exactly what
16 Congress, in the 1996 Act, explicitly rejected. The better way to look at the
17 question is to say that the ILEC cannot choose to maintain an outmoded and
18 inefficient network, and then impose the costs of that inefficiency on the CLEC.
19 Section 251(c)(2)(C) of the statute requires that the ILEC actually physically
20 provide the CLEC with any type of interconnection it provides to anyone else, so
21 that the CLEC will be able to physically obtain the most efficient kind of
22 interconnection the ILEC actually makes available to anyone. But if the ILEC
23 really is a laggard technically, and only has inefficient interconnection
24 arrangements available, the ILEC can only charge the CLEC the costs that the

1 ILEC *would* have incurred, had it used the most efficient currently available
2 technology. This forces the ILEC to bear the costs of its own inefficiencies and
3 thereby indirectly creates an incentive for the ILEC to become efficient.

4 Finally in this regard, while I am not a lawyer, I would note that ILECs
5 challenged the constitutionality and legality of the FCC's TELRIC standard, and
6 the United States Supreme Court rejected that challenge and upheld the FCC.³⁵

7 **Q. ARE THERE ANY OTHER GENERAL FACTORS FOR THE**
8 **COMMISSION TO CONSIDER IN CONNECTION WITH THIS ISSUE?**

9 A. Yes. Specifically, the parties may have a disagreement about what parts of a
10 network interconnection arrangement are covered by what rates elements. This
11 disagreement may also impact what facilities are subject to a separate charge.

12 **Q. PLEASE EXPLAIN.**

13 A. I mentioned above that while interconnection under Section 251(c)(2) of the 1996
14 Act relates to the exchange of traffic, the economic aspects of traffic exchange fall
15 under a separate statutory provision, Section 251(b)(5). That statutory provision
16 calls for interconnected LECs to "establish reciprocal compensation arrangements
17 for the *transport and termination* of telecommunications." (Emphasis added.) As
18 described below, the parties have agreed that they will pay each other a simple
19 per-minute rate of \$0.0007 to cover the "transport and termination" of traffic they
20 send each other. Therefore, to the extent that an activity or arrangement is

³⁵ See *Verizon Communications v. FCC*, 535 U.S. 467 (2002).

1 embraced by the “transport and termination” functions addressed by Section
2 251(b)(5), any separate charge for that activity or function over and above the
3 agreed-to \$0.0007/minute rate would be, in effect, double-charging.

4 **Q. HOW DOES THE FCC DEFINE “TRANSPORT” AND**
5 **“TERMINATION”?**

6 A. The FCC has specifically addressed this question in Section 51.701 of its rules.
7 Section 51.701(c) states that:

8 [T]ransport is the transmission and any necessary tandem
9 switching of telecommunications traffic subject to Section
10 251(b)(5) of the Act *from the interconnection point between the*
11 *two carriers* to the terminating carrier’s end office switch that
12 directly serves the calling party, or equivalent facility provided by
13 a carrier other than an [ILEC].

14 47 C.F.R. § 51.701(c) (emphasis added). The emphasized language is highly
15 significant, because it makes clear that the “transport” function begins at the
16 instant that traffic is physically handed off from the CLEC to the ILEC (or vice
17 versa). Once a call leaves the CLEC’s network facilities on its way to the ILEC
18 customer being called, the transport function has begun. That function is covered
19 by the agreed ~~\$0.0007~~ ^{\$0.0007}/minute rate. Adding any extra charges for activities or
20 facilities on Verizon’s side of that hand-off point under the guise of charging for
21 “interconnection facilities” or “interconnection arrangements” would be
22 inapporprate.

23 **Q. WITH THAT BACKGROUND, PLEASE DESCRIBE THE SITUATION IN**
24 **WHICH BRIGHT HOUSE WOULD PURCHASE OR LEASE FACILITIES**

1 **FROM VERIZON TO CONNECT ITS NETWORK TO VERIZON'S**
2 **NETWORK.**

3 A. If Verizon provides the facilities to connect the two networks, that facility is
4 typically called an “entrance facility.” In its original ruling regarding
5 interconnection under the Act,³⁶ the FCC addressed the question of rates
6 applicable to entrance facilities (“transmission facilities that are dedicated to the
7 transmission of traffic *between* two networks” (emphasis added)), and ruled that
8 the cost should be apportioned in accordance with relative use of the facility.
9 Further, the FCC held that when purchased as a UNE, entrance facilities were to
10 be priced based on the TELRIC standard discussed above. Also as discussed
11 above, the FCC held that facilities provided in support of interconnection of
12 networks and traffic exchange should also be priced using the TELRIC standard
13 (which makes sense because the same statute – Section 252(d)(1) – establishes the
14 general rule for both.)³⁷

15 **Q. IS AN ENTRANCE FACILITY A UNE?**

16 A. The FCC originally treated entrance facilities as UNEs, but based on a new
17 analysis of whether competitors would be “impaired,” in its *Triennial Review*

³⁶ See *Local Competition Order* at ¶ 1062.

³⁷ The FCC has stated that TELRIC pricing applies to facilities used for interconnection, UNEs, and for the transport and termination of traffic, in the *Local Competition Order* at ¶¶ 672-690 and ¶ 1027. See also 47 C.F.R. §§ 51.501 – 51.513, 51.705(a).

1 *Remand Order*, the FCC held that entrance facilities were no longer to be
 2 provided as UNEs.³⁸

3 **Q. IF ENTRANCE FACILITIES ARE NOT UNES, HOW ARE THEY**
 4 **PRICED?**

5 A. Following that ruling, the pricing of entrance facilities depends on how they are
 6 used. The *TRRO* stated, “We note in addition that our finding of non-impairment
 7 with respect to entrance facilities [which means that entrance facilities are not
 8 UNEs] does not alter the right of competitive LECs to obtain interconnection
 9 facilities pursuant to section 251(c)(2) for the transmission and routing of
 10 telephone exchange service and exchange access service. Thus, competitive
 11 LECs will have access to these facilities at cost-based rates to the extent that they
 12 require them to interconnect with the incumbent LEC’s network.”³⁹

13 **Q. ARE “COST-BASED” RATES TELRIC RATES?**

14 A. Yes. As discussed above, the FCC’s costing standard for interconnection is
 15 TELRIC. Although much of the controversy surrounding TELRIC arose in
 16 connection with UNE pricing, the TELRIC standard – which, as noted above, was
 17 upheld by the Supreme Court – is the “cost-based pricing methodology” for
 18 “interconnection and unbundled element rates.”⁴⁰

19 **Q. HOW SHOULD THE COMMISSION DECIDE ISSUE #24?**

³⁸ See FCC **Order on Remand** in WC Docket No. 04-313, CC Docket No. 01-338, Released February 4, 2004 at ¶ 137. (“*TRRO*”)

³⁹ See, *TRRO* at ¶ 140.

⁴⁰ See, *Local Competition Order* at ¶ 300.

1 A. Because an “entrance facility” used to facilitate interconnection and traffic
2 exchange, rather than access to UNEs, is considered an interconnection
3 arrangement, it should be priced at TELRIC rates, rather than tariffed rates. That
4 said, this specific issue has been litigated in various courts of appeals, so I am
5 sure that the parties will address in their briefs and other filings.

6 **Q. LEGALITIES ASIDE, WHAT IS THE UNDERLYING CONTROVERSY**
7 **HERE?**

8 A. The dispute arises because the FCC has different rules for how entrance facilities
9 should be priced, depending on what the CLEC is going to use them for. Suppose
10 that at CLEC does not have its own network to reach its own customers. In that
11 case the CLEC may well use the ILEC’s loops – connections to individual
12 customers – as UNEs. To physically connect to those unbundled loops, the CLEC
13 will typically establish a collocation arrangement in the building containing an
14 ILEC switch, on which the loops from individual customers converge. In such a
15 situation, the ILEC will cross-connect the unbundled loops – which had been
16 connected to the ILEC’s own switch – over to the CLEC’s collocated equipment.
17 In this type of arrangement, the CLEC will need to connect from its network into
18 the collocation arrangement, in order to connect the unbundled loops to its own
19 switch (located in a different building).

20 Generally speaking, a CLEC can get from its network to the collocation
21 arrangement in the same three ways noted above: it can build its own facilities; it

1 can buy facilities from a third party; or it can buy an entrance facility from the
2 ILEC.

3 The FCC has ruled that if a CLEC uses ILEC entrance facilities *for the purpose*
4 *of connecting to unbundled network elements such as loops*, then the ILEC may
5 charge the CLEC the ILEC's tariffed rate for entrance facilities.

6 On the other hand, suppose that (like Bright House) a CLEC does not use
7 unbundled loops or other UNEs, and that the reason it has established a
8 collocation arrangement is to facilitate connecting its network to the ILEC's
9 network for the exchange of traffic – not access to UNEs. The FCC ruled that if a
10 CLEC uses ILEC entrance facilities *for the purpose of network interconnection*
11 *and traffic exchange*, then the entrance facilities are to be priced at the lower
12 TELRIC-based rate.

13 The court decisions alluded to above have affirmed this distinction and required
14 the use of TELRIC-based pricing for entrance facilities used for purposes of
15 interconnection.

16 Because Bright House does not use UNE loops, but does have collocation
17 arrangements in order to facilitate traffic exchange, Bright House wants to ensure
18 that its interconnection agreement with Verizon reflects the appropriate, lower
19 rate for any entrance facilities it obtains for that purpose.

20 **Q. WHAT SHOULD THE COMMISSION DECIDE WITH RESPECT TO**
21 **ISSUE #24?**

1 A. For the reasons discussed above, and as Bright House's lawyers will explain
2 further, the Commission should adopt Bright House's language and require
3 Verizon to provide entrance facilities in support of interconnection and traffic
4 exchange at TELRIC, rather than tariffed, rates.

5 ***Issues 26, 27 and 28***

6
7 **Issue #26: May Bright House require Verizon to interconnect using a**
8 **fiber meet arrangement?**

9 **Issue #27: How far, if at all, should Verizon be required to build out its**
10 **network to accommodate a fiber meet?**

11 **Issue #28: What types of traffic may be exchanged over a fiber meet, and**
12 **what terms should govern the exchange of that traffic?**

13 **Q. WHAT IS THE NATURE OF THE DISPUTE UNDERLYING ISSUES 26,**
14 **27, AND 28?**

15 A. Each of these issues relate to a method of interconnection for traffic exchange
16 known as a "fiber meet." Although it appears that the parties generally agree that
17 a fiber meet is an appropriate means of interconnection – which is logical,
18 because the FCC recognized that fiber meets were such a means in its very first
19 decision under the Act – they disagree as to some of the particulars of how such
20 arrangements may be established.

21 **Q. WHAT IS A "FIBER MEET" ARRANGEMENT?**

22 A. A fiber meet arrangement is a means of network interconnection in which the two
23 networks each build out optical fiber facilities to an agreed-upon point, and then
24 splice the two fibers together, creating an integrated link, provided jointly by the

1 two of them, for exchanging traffic between two networks. The agreed-on point
2 may be on a particular pole where both parties have (or build) fiber, or it may be
3 in a manhole or conduit outside a building that houses one of the parties' switches
4 – or any other location on which they might agree. Each party is responsible for
5 its own costs on its side of the agreed meet point.

6 The FCC's rules make this very clear, defining both the term "meet point" and
7 "meet point interconnection arrangement," as follows:

8 *Meet point.* A *meet point* is a point of interconnection between two
9 networks, designated by two telecommunications carriers, at which
10 one carrier's responsibility for service begins and the other
11 carrier's responsibility ends.

12 *Meet point interconnection arrangement.* A *meet point*
13 *interconnection arrangement* is an arrangement by which each
14 telecommunications carrier builds and maintains its network to a
15 meet point.⁴¹

16 Each party is responsible for building and maintaining its own network out to the
17 meet point, and a carrier sending traffic over a meet point is responsible for that
18 traffic up to the meet point, but not beyond it.

19 In practical, physical terms, these definitions mean that, in addition to each
20 party's share of the optical fiber itself, each party will also provide, at its own
21 expense, a device known generally as a "fiber optic terminal." This device sends
22 traffic outbound on the fiber, which is received the by other party's fiber optic
23 terminal at the other end. This same device also receives traffic coming in on the
24 fiber from the other party. Depending on each party's particular network

⁴¹ 47 C.F.R. § 51.5 (italics in original).

1 equipment, it may be possible to directly connect a party's switch to the "back
2 end" of the fiber optic terminal. Or, it may be that a party needs to interpose other
3 equipment, such as multiplexers or demultiplexers, between that party's switch
4 and its fiber optic terminal. But whatever particular equipment is needed, each
5 party bears its own costs in setting up the fiber meet arrangement.

6 **Q. WHAT ARE THE ADVANTAGES OF INTERCONNECTING VIA A**
7 **FIBER MEET ARRANGEMENT?**

8 A. A fiber meet arrangement is a very efficient way to link together two networks
9 that exchange a significant amount of traffic. This is because the capacity of
10 optical fiber to carry traffic is truly immense. As the amount of traffic grows,
11 therefore, it is typically not necessary to deploy any additional physical *facilities*
12 – at least not outside plant (like fiber on poles or in conduit) – to carry the
13 additional traffic. In addition, as an administrative matter, a fiber meet
14 arrangement is extremely simple. The physical point at which the two parties'
15 fiber is spliced together creates a clear and unambiguous line of demarcation
16 between the two networks, with both operational and financial responsibility lying
17 with each party on its respective side of the splice point.⁴²

18 **Q. WHERE DO THE PARTIES DISAGREE WITH RESPECT TO**
19 **ESTABLISHING FIBER MEET POINTS?**

⁴² Of course the two parties may install a fiber facility together in which case there would be no splice.

1 A. There are three main points of disagreement. First is a subtle but important
2 distinction in how the right to establish a fiber meet point is described in Section
3 3.1.1 of the Interconnection Attachment. In Verizon's version of the language,
4 while either party may "request" a fiber meet arrangement, the parties have no
5 obligation to actually establish one unless they agree on all the relevant technical
6 details.

7 **Q. WHY IS THIS A CONCERN TO BRIGHT HOUSE?**

8 A. Bright House is very concerned that Verizon could use this language to avoid
9 establishing a fiber meet arrangement, through the simple device of refusing to
10 reach such an agreement. To correct this problem Bright House has proposed
11 language that makes clear that a fiber meet arrangement "shall be established" at
12 Bright House's request. The language still requires the parties to agree on the
13 relevant technical details, but Bright House has added two important provisos: (a)
14 Agreement on such matters "may not be unreasonably conditioned, withheld,
15 denied or delayed;" and (b) If the parties cannot reach agreement, the dispute shall
16 be subject to the contract's normal dispute resolution process, which provides a
17 procedure to bring any truly irreconcilable disputes back to the Commission for
18 determination.

19 **Q. WHY ARE THESE MODIFICATIONS TO VERIZON'S LANGUAGE**
20 **IMPORTANT?**

21 A. As noted above, Verizon's language leaves the entire issue of whether a fiber
22 meet shall be established in the first place up in the air, contingent on sorting out

1 every technical detail. This is a recipe for disputes and delays. Bright House's
2 language, in contrast, clearly and unambiguously establishes that a fiber meet
3 arrangement shall be established, and makes clear that there is a mechanism for
4 resolving any disputes over technical details that might arise. Bright House's
5 language is clearly superior and the Commission should adopt it.

6 **Q. WHAT IS THE SECOND AREA OF DISAGREEMENT REGARDING**
7 **THE ESTABLISHMENT OF FIBER MEET POINTS?**

8 A. The second area of disagreement relates to Verizon placing arbitrary limits on the
9 physical configuration of the meet points. Verizon proposed two such limitations.
10 First, the actual physical meet point – where the fiber is spliced – could not be
11 more than three (3) miles from a Verizon central office. Second, Verizon would
12 not ever be required to build more than 500 feet of fiber cabling to reach an
13 agreed meet point. Verizon embodied these restrictions in Section 3.1.2 of the
14 Interconnection Attachment, and repeated the 3-mile limitation in a specific
15 addendum to the contract setting out the form the parties would fill out to
16 establish a fiber meet.

17 **Q. WHY ARE THESE CONDITIONS UNREASONABLE?**

18 A. There is no reason to say that the actual fiber splice must be within three miles of
19 a Verizon central office. It is true that the fiber optic terminal that Verizon would
20 deploy to receive signals from Bright House and send signals to Bright House will
21 almost certainly be in a Verizon central office, but the laser signals on optical
22 fiber can travel at least dozens of miles, and in some cases much more, without

1 the need for any regeneration or repeating equipment. As a result, there is no
2 technical reason to say that the splice between the two parties' respective fiber
3 must occur within any particular distance from a central office. Now, the parties
4 have not yet tried to establish a fiber meet, so it may well be that the parties could
5 agree on a location for a fiber meet that falls within the three-mile limit. And,
6 certainly, if there is some technical reason of which Bright House is unaware (and
7 that Verizon has never articulated) that would make the three-mile limit sensible
8 in some particular case, Bright House would abide by it in that case. But as a
9 general proposition, the three mile limit is totally arbitrary, and completely
10 unrelated to any of the technical characteristics of exchanging traffic by means of
11 optical fiber.⁴³ The Commission should reject this limitation.

12 Second, Verizon states that it should never be required to place more than 500
13 feet of new fiber to make a fiber meet work. On some level there is no specific
14 "right" answer to this issue. At one extreme, Bright House agrees that Verizon
15 should not be called on to construct 10 miles of new fiber in order to establish a
16 fiber meet point across the street from Bright House's switch. But by the same
17 token, Bright House should not be called on to construct 10 miles of new fiber in
18 order to establish a fiber meet point across the street from Verizon's switch. As
19 the FCC described the situation:

⁴³ Verizon, at least in the press, touts its technical prowess regarding optical fiber and high capacity interfaces. Verizon just this year used 100-Gbps interfaces to transmit data over a 1,520 kilometer optically amplified stretch of network in Texas. (See, "Cisco Clarifies 100-Gig AT^T Backbone Claim – AT&T Test of Vendor's CRS-3 Follows Verizon Deployment and Comcast Trials"; March 9, 2010). Obviously Verizon has the technical capability to interconnect with high capacity fiber facilities.

1 In a meet point arrangement each party pays its portion of the costs
2 to build out the facilities to the meet point. We believe that,
3 although the Commission has authority to require incumbent LECs
4 to provide meet point arrangements upon request, such an
5 arrangement only makes sense for interconnection pursuant to
6 section 251(c)(2) New entrants will request interconnection
7 pursuant to section 251(c)(2) for the purpose of exchanging traffic
8 with incumbent LECs. In this situation, *the incumbent and the*
9 *new entrant are co-carriers and each gains value from the*
10 *interconnection arrangement. Under these circumstances, it is*
11 *reasonable to require each party to bear a reasonable portion of*
12 *the economic costs of the arrangement.* ... Regarding the
13 distance from an incumbent LEC's premises that an incumbent
14 should be required to build out facilities for meet point
15 arrangements, we believe that the parties and state commissions
16 are in a better position than the Commission to determine the
17 appropriate distance that would constitute the required reasonable
18 accommodation of interconnection.⁴⁴

19 Given the FCC's explicit recognition that the ILEC will benefit from the meet
20 point arrangement along with the CLEC, and its express conclusion that "it is
21 reasonable to require *each party* to bear a reasonable portion of the economic
22 costs of the arrangement," Bright House could argue that no advance limit on how
23 much fiber Verizon might have to build would be appropriate. Instead, it would
24 have been appropriate for Bright House to propose that how much fiber it is
25 "reasonable" to require Verizon to construct to establish a meet point arrangement
26 should be determined in each individual case. Instead, in order to accommodate
27 Verizon's concern that it could be required to build an excessive amount of fiber,
28 Bright house has proposed a limit of about half a mile – 2,500 feet. Given the
29 FCC's analysis of meet point arrangements quoted above, Bright House is being
30 more than reasonable on this aspect of the issue, and the Commission should
31 adopt Bright House's proposed language.

⁴⁴ See, *Local Competition Order* at ¶ 553. (emphasis added)

1 **Q. WHAT IS THE THIRD AREA OF DISAGREEMENT BETWEEN THE**
2 **PARTIES, ON THE ISSUE OF MEET POINTS?**

3 A. In section 3.1.3 of the Interconnection Attachment, Verizon proposes a variety of
4 pointless and oppressive restrictions on the types of traffic that may be exchanged
5 using a fiber meet point. From a technical and economic perspective, these kinds
6 of restrictions are senseless. The key advantage of fiber optic transmission is the
7 vast capacity of optical fiber to carry traffic. Once a fiber meet point is
8 established, the appropriate and efficient thing to do is to use it to carry as much
9 traffic as it efficiently can. Restricting the types of traffic that can be sent over a
10 meet point facility is like building a new 12-lane superhighway and then
11 randomly declaring that only Fords, Hondas, and VWs are allowed to drive on it.
12 In light of this, Bright House has proposed to entirely eliminate Verizon's "type
13 of traffic" restrictions and instead permit the meet point to be used for any type of
14 traffic that the parties may lawfully exchange.

15 **Q. WHAT ARE VERIZON'S OBLIGATIONS WITH REGARD TO THE**
16 **EXCHANGE OF TRAFFIC?**

17 A. Verizon's interconnection obligations under Section 251(c)(2) of the Act include
18 "telephone exchange service" traffic – which is, broadly speaking, local traffic
19 (i.e., traffic to which no toll charge applies), and also to "exchange access" traffic
20 (i.e., traffic for which an end user has been charged a toll charge, and for which
21 access charges are therefore appropriate). Moreover, while there has sometimes
22 been controversy over where VoIP-originated traffic fits into the traditional ways

1 of categorizing calls, Verizon and Bright House have agreed that VoIP traffic will
2 be treated like any other traffic for purposes of interconnection (see agreed
3 language in Section 8.6 of the Interconnection attachment). And, the FCC itself
4 has said that it is unreasonable to require a CLEC to parse its traffic into different
5 categories, to be carried on different facilities, precisely because requiring
6 separate facilities for different types of traffic would be “contrary to the pro-
7 competitive spirit of the 1996 Act. By rejecting this outcome we provide
8 competitors the opportunity to compete effectively with the incumbent by offering
9 a full range of services to end users without having to provide some services
10 inefficiently through distinct facilities or agreements.”⁴⁵ There is simply no basis
11 for Verizon’s elaborate listing of what types of traffic would be “allowed” or
12 “disallowed” on a fiber meet point.

13 Finally, there is no need for any special rules regarding compensation for traffic
14 sent via a fiber meet point. To the contrary, the normal rules for each type of
15 traffic would logically apply to traffic exchanged at the meet point. In this regard,
16 it bears emphasis that the FCC has defined the “transport” function, in connection
17 with the exchange of non-access traffic, as the delivery of the traffic from the
18 point of physical interconnection with the other carrier, all the way to the
19 receiving carrier’s end office switch that will route the call to the specific
20 intended recipient.⁴⁶ In a meet point arrangement, the physical interconnection

⁴⁵ *Id.* at ¶ 995.

⁴⁶ *See* 47 C.F.R. § 51.701(c).

1 point is the point at which the fibers are spliced together or where ownership
2 changes.

3 As a result of these considerations, the Commission should reject Verizon's
4 language regarding types of traffic to be exchanged via fiber meet points the
5 parties may establish.

6 ***Issue 25***

7
8
9 **Issue #25: Should the ICA require the parties to exchange traffic in IP**
10 **format?**

11
12 **Q. WHAT IS THE STATUS OF ISSUE #25?**

13 A. I have been informed that the parties have reached a settlement regarding Issue
14 #25 under which Bright House is withdrawing its proposed language regarding IP
15 interconnection in this proceeding. I will therefore not discuss this issue in my
16 direct testimony.

17 ***Issue 37***

18
19 **Issue #37: How should the types of traffic (e.g. local, ISP, access) that are**
20 **exchanged be defined and what rates should apply?**

21 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #37?**

22 A. It appears that the parties basically agree on how to define and classify most of
23 the different types of traffic, with a few exceptions – some subtle, some not – that
24 could potentially have very important consequences for intercarrier compensation
25 payments between the parties under their new agreement. I discuss these

1 classification issues below. Moreover, as described below, although I have a
2 variety of concerns with Verizon's proposed definitions, the most important one
3 relates to the terms that control when Verizon and Bright House will have to pay
4 each other access charges, as opposed to reciprocal compensation charges, with
5 respect to traffic they send to each other.

6 **Q. PLEASE DEFINE SWITCHED ACCESS CHARGES.**

7
8 A. Access charges are the rates paid by interexchange carriers ("IXCs") to the local
9 exchange carriers ("LECs") to either originate and/or terminate toll calls. Since
10 the IXCs generally do not own the local facilities, they pay the LECs who do own
11 the local facilities for the access to the local networks.

12 **Q. WHAT IS RECIPROCAL COMPENSATION?**

13 A. Reciprocal compensation is what LECs pay one another for the transport and
14 termination of traffic pursuant to Section 251(b)(5) of the Act.

15 **Q. AS A MATTER OF CONTEXT, PLEASE BRIEFLY DESCRIBE THE**
16 **DIFFERENCE BETWEEN ACCESS CHARGES AND RECIPROCAL**
17 **COMPENSATION FOR PURPOSES OF THIS DISPUTE.**

18 A. As noted above, IXCs pay access charges to the LECs at the beginning and end of
19 a long distance call. In this prototypical arrangement, the IXC collects a toll
20 charge from the calling party, but pays access charges to both the originating and
21 terminating LECs who were involved in handling the call.

22 On the other hand, reciprocal compensation (generally a much lower rate than
23 access charges) applies when two interconnected local carriers collaborate to

1 complete a local call. In this scenario, the calling party is served by one local
2 carrier, and calls someone – perhaps just across the street – served by another
3 local carrier. The local carrier originating the call hands it off directly to the local
4 carrier terminating the call, and pays the terminating carrier a reciprocal
5 compensation rate for its work in delivering the call. As noted above, that work
6 generally entails transport and termination of the call on behalf of the other LEC.

7 **Q. HOW DID THESE TWO DIFFERENT CHARGING REGIMES**
8 **DEVELOP?**

9 A. The history of access charges and reciprocal compensation (like much of the
10 history of the telecommunications industry) is very complicated, and I will not go
11 into all the details here. At a high level, though, before the break-up of the old
12 Bell System in 1984, the local Bell Companies established local calling areas
13 within which customers could make “free” calls without incurring a toll. Calls
14 outside those areas were handled by AT&T’s “Long Lines” division. AT&T
15 collected all the money for those long distance calls and, through accounting
16 arrangements within the old Bell System, shared some of that revenue with the
17 local companies that were involved in handling the calls to compensate them for
18 their work in doing so.

19 The break-up of the Bell System established the local Bell Companies as legally
20 distinct from AT&T’s long distance operations. Beginning at that time they
21 couldn’t use intra-company accounting to share long distance revenues. Instead,
22 the system of tariffed “access charges” was created. When a customer made a

1 long distance call, the call would be carried by the customer's local carrier to the
2 customer's preferred long distance carrier (also known as the customer's IXC);
3 transported to the destination city by the long distance carrier; and then delivered
4 to the called party by the called party's local carrier. The long distance carrier
5 would bill a toll charge to the calling party, but would pay access charges to the
6 local carriers who helped originate and terminate the call.

7 Local Access and Transport Areas, or "LATAs," were established at this same
8 time. LATAs were established to distinguish calls that the local Bell Companies
9 were allowed to carry – calls within a LATA – from pure "long distance calls"
10 that only interexchange carriers ("IXCs") could carry. Basically, once this system
11 was established, landline interLATA calls were carried by long distance carriers
12 who paid access charges to the LECs for originating and terminating such calls.⁴⁷
13 This basic arrangement has been in place for more than 25 years – although the
14 rates and rate structures have changed dramatically – and remains in place today.

15 The situation with intraLATA calls was a bit more complicated, for two reasons.
16 First, most LATAs were big enough that at least some calls that remained entirely
17 within a LATA might still be classified as a "long distance" call. For example, in

⁴⁷ The rare exceptions involve situations where a local community of interest existed, or developed, that crossed a LATA boundary. The federal court administering the break-up of the Bell System approved a number of so-called "LATA boundary waivers" to permit the local Bell Companies to provide "interLATA local" service in those situations. For completeness I would note that the situation is different with respect to wireless carriers, to whom LATA boundaries do not normally apply. Wireless service territories are much larger areas known as "Major Trading Areas," or MTAs. The FCC has held that calls to or from a wireless carrier that remain within an MTA are subject to "reciprocal compensation" charges, discussed below, while wireless calls that cross an MTA boundary are subject to access charges. See *Local Competition Order* at ¶ 1036; 47 C.F.R. §51.701(b)(2).

1 Florida, LATA 452 covers a portion of the northeastern part of the state. A call
2 from Jacksonville to Lake City would be entirely within LATA 452 – and thus be
3 an intraLATA call – but would also likely have been a toll call at that time. States
4 had to sort out on an individual basis whether to treat LATAs as the monopoly
5 “fiefdoms” of the divested local Bell Companies, or whether to permit
6 competition in the provision of intraLATA toll calls. For those states that allowed
7 intraLATA toll competition, when an independent long distance company
8 provided intraLATA toll service, access charges were applied.

9 At the time of divestiture and for some time thereafter, however, it was almost
10 universally thought that true “local” telephone service was a natural monopoly,
11 and that it would not be possible for there to be effective competition for local
12 service. That was one of the reasons that access charges included implicit
13 subsidies to provide for the continued profitable operations of the local compaies
14 and to ensure “universal service.” Of course, the entire premise of the 1996 Act is
15 that local competition *is* possible, and, as discussed above, the marketplace
16 success of firms like Bright House shows that this more modern view is, indeed,
17 correct.

18 **Q. PLEASE EXPLAIN HOW THE ACT CHANGED THE INDUSTRY WITH**
19 **RESPECT TO LOCAL COMPETITION AND INTERCARRIER**
20 **COMPENSATION.**

21 A. The Act sets out the basic parameters under which local competition will take
22 place. Congress recognized that once the ILEC and one or more CLECs were

1 providing service in the same area and competing for the same customers, they
2 would have to exchange traffic for competition to be viable – which is the source,
3 as a policy matter, of the duty to interconnect contained in Section 251(c)(2) of
4 the Act. Congress also recognized that the exchange of local traffic between two
5 LECs was different from the traditional long distance scenario involving an IXC.
6 So, Congress established a duty on all LECs – ILECs and CLECs alike – to enter
7 into “reciprocal compensation” arrangements.⁴⁸

8 **Q. YOU NOTED ABOVE THAT SOME INTRALATA TRAFFIC WAS**
9 **CONSIDERED LOCAL, BUT THAT OTHER INTRALATA TRAFFIC**
10 **WAS CONSIDERED “LONG DISTANCE” AND SUBJECT TO ACCESS**
11 **CHARGES. HOW DOES THAT AFFECT RECIPROCAL**
12 **COMPENSATION BETWEEN TWO LECs?**

13 A. The FCC considered this issue in the *Local Competition Order*, at ¶¶ 1033-1035.
14 Specifically, the FCC stated that the question of what traffic interconnected LECs
15 might exchange that would count as “local” – and thus be subject to reciprocal
16 compensation rather than access charges – would be left up to individual states to
17 determine on a case-by-case basis, in light of states’ “historical practice of
18 defining local service areas for wireline LECs. Traffic originating or terminating
19 outside of the applicable local area would be subject to interstate and intrastate
20 access charges.”⁴⁹ In other words, the FCC specifically empowered states to

⁴⁸ See, *Local Competition Order* at ¶1027.

⁴⁹ *Id.* at ¶ 1035.

1 determine which intraLATA traffic exchanged between LECs would be treated as
2 “local” versus “toll” for purposes of intercarrier compensation.

3 **Q. IS THIS ONE OF THE MATTERS IN DISPUTE BETWEEN BRIGHT**
4 **HOUSE AND VERIZON?**

5 A. Yes, it is. I describe that dispute below. However, before doing so, it is useful to
6 discuss the specific definitions of different types of traffic contained in the
7 agreement. This will provide contractual context for the “access charges versus
8 reciprocal compensation” question.

9 **Q. HOW WOULD BRIGHT HOUSE PROPOSE TO CLASSIFY TRAFFIC?**

10 A. Bright House would define the following types of traffic: Exchange Access
11 traffic; Internet traffic; Measured Internet traffic; Meet Point Billing traffic;
12 Reciprocal Compensation traffic; Telephone Exchange Service traffic; and Toll
13 traffic. I discuss these below. I note at the outset, however, that the parties agree
14 that the term “Telephone Exchange Service” will be as defined in the Act, so
15 there is no dispute about that term.

16 **Q. HOW WOULD BRIGHT HOUSE DEFINE “EXCHANGE ACCESS”**
17 **TRAFFIC?**

18 A. “Exchange Access” is defined in the 1996 Act. It refers to traffic that uses local
19 exchange facilities or services – in this case, Verizon’s or Bright House’s local

1 networks – for the origination or termination of Telephone Toll Service.⁵⁰
2 Verizon and Bright House agree that the basic definition of “Exchange Access”
3 for purposes of the agreement should be the same as the statutory definition. I
4 discuss the definition of “Telephone Toll Service” (also defined in the Act)
5 below. But the basic idea is that if a call is a toll call – that is, if one of the parties
6 is paying a separate toll charge over and above their basic local service charge for
7 the call – then originating and terminating that call constitutes Exchange Access
8 service. On the other hand, if a customer can make a call with no extra charge
9 beyond the basic fee for local service, then it is not a toll call, and originating and
10 terminating it is not Exchange Access service.

11 **Q. WHERE DO VERIZON AND BRIGHT HOUSE DISAGREE REGARDING**
12 **THE DEFINITION OF EXCHANGE ACCESS?**

13 A. As just noted, under the statutory definition, “Exchange Access” is any traffic
14 where the underlying call is a toll call. As described below, however, for
15 purposes of intercarrier compensation, it makes a difference *who* is actually
16 performing the long distance service and assessing the toll charge on the end user.
17 Specifically, it matters whether the toll charge is being assessed by one of the
18 parties to the ICA – Verizon or Bright House – or whether, instead, it is being
19 assessed by some third party toll carrier that is handling the call.

20 **Q. WHY DOES THAT DIFFERENCE MATTER?**

⁵⁰ See 47 U.S.C. § 153(16).

1 A. It matters because the entity that is supposed to pay access charges on the
2 "Exchange Access" traffic is the entity that is assessing the toll. So, for example,
3 if Verizon itself charges one of its customers a toll charge in connection with
4 making a call to a Bright House customer, then Bright House should charge
5 Verizon an access charge for terminating that toll call. On the other hand, if the
6 toll call is coming in from out of state and being carried by (say) AT&T, then
7 AT&T is required to pay the access charges. Because both types of calls fit the
8 definition of "Exchange Access" traffic, but the payment obligations are so
9 different, Bright House has proposed to clearly define the two different types of
10 traffic.

11 **Q. WHAT HAS BRIGHT HOUSE PROPOSED?**

12 A. Bright House has proposed to include the following language in the definition of
13 Exchange Access: "For purposes of this Agreement, 'Exchange Access' traffic
14 shall fall into one of two exhaustive and mutually exclusive categories: 'Toll
15 Traffic,' as defined herein, in which one of the Parties is the IXC; and 'Meet Point
16 Billing Traffic' as defined herein in which the Parties jointly provide exchange
17 access service to a third-party IXC."

18 In other words, Bright House proposes to include language that clearly delineates
19 Exchange Access traffic where Bright House or Verizon might owe each other
20 access charges ("Toll Traffic") from Exchange Access traffic where neither
21 Bright House nor Verizon owes each other, but, rather, they would both assess

1 access charges on a third-party interexchange carrier, or IXC (“Meet Point
2 Billing” traffic).

3 **Q. WHAT IS “MEET POINT BILLING” TRAFFIC?**

4 A. Meet point billing refers to a situation in which a third-party IXC uses *both* Bright
5 House and Verizon to connect to an end user being called. For example, suppose
6 that a long distance carrier like AT&T connects to Verizon’s tandem switch in
7 Tampa, but does not have any direct connections to Bright House. If an AT&T
8 long distance customer in (say) Chicago calls a Bright House customer in Tampa,
9 AT&T can get the call from Chicago to Tampa, but then still has to find a way to
10 get it to Bright House. In such a situation AT&T will hand the call off to Verizon
11 at Verizon’s tandem, and Verizon will route the call to Bright House. In that
12 arrangement, AT&T has received terminating exchange access service – that is,
13 the service of terminating its incoming toll call – jointly from Verizon (which
14 provided the tandem switching service, and delivered the call to Bright House),
15 and from Bright House as well (which ensured that the call got the rest of the way
16 to the actual called party).

17 There are two industry-standard documents, known as MECAB (Multiple
18 Exchange Carrier Access Billing) and MECOD (Multiple Exchange Carrier
19 Ordering Document) that explain how meet point billing is supposed to work.
20 The basic idea is simply that the two carriers involved in providing the access
21 service to the third party IXC will establish a “meet point” which serves as the
22 demarcation point between the services, network, and responsibility of the two

1 carriers. Each carrier will bill the third party IXC for the services it provides on
2 its side of that “meet point.” Neither carrier will bill each other anything in
3 connection with a meet point billing arrangement, because they are not providing
4 any services to each other; instead, they are jointly providing access services to
5 the third party IXC.⁵¹

6 **Q. WHAT IS THE PARTIES’ DISPUTE ABOUT THIS DEFINITION?**

7 A. Verizon’s proposed contract does not contain any definition of Meet Point Billing
8 traffic at all. As a result, there is significant ambiguity in its definitions of
9 “Exchange Access” and “Telephone Toll” traffic, because in a Meet Point Billing
10 situation, neither party should charge the other anything for handling the traffic,
11 whereas in the situation where a party’s own customer is making a toll call, it is
12 appropriate to impose access charges on the party that is acting as an IXC by
13 charging its customer a toll. So the separate identification of, and definition for,
14 Meet Point Billing traffic is very important as a practical matter.

15 That said, Verizon has never, to my knowledge, explained its objection to
16 including the distinction between Toll Traffic (where one of the parties would pay
17 access charges to the other one) and Meet Point Billing traffic (where the parties
18 would not charge each other, but would, instead, each charge the third-party IXC)
19 in the ICA. As noted, however, under long-established industry practice, Meet
20 Point Billing traffic is routed and billed differently from toll calls exchanged

⁵¹ Of course, one carrier may obtain facilities from the other (or from a third party) in order to augment or establish its own network on its side of the meet point. Bright House is not suggesting that one carrier can simultaneously rely on the other carrier for part of the first carrier’s own network and then not pay for that service.

1 directly between two interconnected local carriers. Clearly defining these two
2 different situations in the parties' agreement would clarify the two different
3 situations and eliminate the possibility of disputes about who should be paying
4 access charges.

5 **Q. WHAT SHOULD THE COMMISSION DO ON THIS POINT?**

6 A. The Commission should adopt Bright House's proposed definition of "Exchange
7 Access," including not only the reference to the term's definition in the Act, but
8 also the clear distinction between Toll Traffic, where one of the parties is
9 charging the end user a toll fee, and Meet Point Billing Traffic, where a third-
10 party IXC is involved. The Commission should also adopt Bright House's
11 proposed definition of "Meet Point Billing" traffic.

12 **Q. HOW DOES BRIGHT HOUSE PROPOSE TO DEFINE "TOLL**
13 **TRAFFIC"?**

14 A. Consistent with the discussion above, Bright House would define "Toll Traffic"
15 as follows:

16 Traffic that meets the definition set forth in the Act for the term
17 "Telephone Toll Service" and as to which one of the Parties is
18 providing the service to the affected End User(s) and imposing on
19 such End User(s) the separate charge referred to in that definition.
20 Toll Traffic may be either "IntraLATA Toll Traffic" or
21 "InterLATA Toll Traffic," depending on whether the originating
22 and terminating points are within the same LATA. For avoidance
23 of doubt, traffic that meets the definition set forth in the Act for the
24 term "Telephone Toll Service" but as to which a third party carrier
25 provides the service to the affected End User(s) and imposes on
26 such End User(s) the separate charge referred to in that definition

1 shall be treated as Meet Point Billing Traffic for purposes of this
2 Agreement.

3 So, as with Exchange Access traffic, Bright House would conform the definition
4 of Toll Traffic in the agreement to the definition of that term in the Act. Again,
5 however, Bright House would clearly distinguish between the situation in which
6 one of the parties – Bright House or Verizon – is providing the toll service, and
7 the situation in which a third party IXC is doing so. And, again, the reason for
8 making this distinction clearly is that the rules governing which entity is supposed
9 to pay access charges are very different in those two situations.⁵²

10 **Q. WHAT IS THE DEFINITION OF “TELEPHONE TOLL SERVICE” IN**
11 **THE ACT?**

12 A. The Act defines “Telephone Toll” service as a call that is “long distance,” in the
13 basic sense of going between two different telephone exchange areas (areas
14 served by different switches), and as to which the end user is also assessed a toll
15 charge. Specifically, the statute provides: “The term ‘telephone toll service’
16 means telephone service between stations in different exchange areas for which
17 there is made a separate charge not included in contracts with subscribers for
18 exchange service.”

19 **Q. DOES VERIZON’S PROPOSED DEFINITION CONFORM TO THE**
20 **TERMS OF THE ACT?**

21 A. Not very well. Here is Verizon’s proposed definition of “Toll” traffic:

⁵² Bright House would also distinguish “intraLATA” toll from “interLATA” toll. Verizon would make this distinction as well, which is not controversial.

1 Traffic that is originated by a Customer of one Party on that
2 Party's network and terminates to a Customer of the other Party on
3 that other Party's network and is not Reciprocal Compensation
4 Traffic, Measured Internet Traffic, or Ancillary Traffic. Toll
5 Traffic may be either "IntraLATA Toll Traffic" or "InterLATA
6 Toll Traffic", depending on whether the originating and
7 terminating points are within the same LATA

8 There are three revealing features about this proposed definition. First, even
9 though the point is to define "toll" traffic, there is no requirement that the
10 underlying traffic actually involve anybody paying a "toll." Second, even though
11 the Act expressly defines "Telephone Toll Service" – and, indeed, *refers to* that
12 definition in the earlier-discussed definition of "Exchange Access" – Verizon's
13 proposed definition of "Toll Traffic" makes no reference to the definitions in the
14 Act at all. Third, Verizon is clearly setting up "Toll Traffic" as a catch-all
15 category by saying that any traffic that does *not* fall into one of three other
16 categories is deemed to be toll traffic.

17 It appears that Verizon has crated its proposed definition of Toll Traffic in such a
18 manner as to maximize the situations in which Verizon can impose (relatively
19 high) access charges on Bright House.

20 **Q. WHAT IS THE PRACTICAL, COMPETITIVE SIGNIFICANCE OF THIS**
21 **DEFINITION OF "TELEPHONE TOLL" TRAFFIC AS BETWEEN**
22 **BRIGHT HOUSE AND VERIZON?**

23 A. Verizon's proposed definition should be rejected because it directly interferes
24 with healthy competition as between Verizon and Bright House.

25 **Q. PLEASE EXPLAIN WHAT YOU MEAN.**

1 A. The point of the 1996 Act is to enable and facilitate direct, head-to-head
2 competition among local exchange carriers. And, as noted above, the policy of
3 the Act is to specifically encourage full facilities-based competition of the sort
4 that now exists between Verizon and Bright House in the Tampa/St. Petersburg
5 area. In that situation, in the residential areas where Bright House's cable affiliate
6 has facilities, consumers will have a choice of which network to use for their
7 phone service.

8 In that kind of head-to-head competitive environment, an important way to
9 compete is by offering more attractive, simpler, and larger local calling areas.
10 Offering a larger local calling area is competing both on the features of the
11 services being offered (since the service is simpler to understand) and on the basis
12 of price (since a large local calling area allows customers to call more individuals
13 or businesses on a flat rate basis and avoid toll charges). From this perspective,
14 the problem with Verizon's proposal is that it imposes a penalty on Bright House
15 for offering a larger and more attractive calling area than Verizon offers.

16 Specifically, under Verizon's language, its own local calling areas are used to
17 determine when access charges apply, not only for calls its own customers make,
18 but also for calls that *Bright House's* customers make. While Bright House can
19 (and does) offer larger local calling areas than Verizon, the effect of Verizon's
20 language is that Bright House has to effectively pay a "tax" – in the form of
21 access charges – on every call that Bright House has chosen to make a "free"
22 local call, but for which Verizon would charge a toll. It is as if Verizon is able to
23 collect tolls even on calls made by Bright House's customers.

1 **Q. HOW SHOULD THIS DISPUTE BE RESOLVED WITHOUT HARMING**
2 **BRIGHT HOUSE'S ABILITY TO OFFER IMPROVED HIGH VALUE**
3 **SERVICES TO ITS CUSTOMERS?**

4 A. The proper way to resolve this problem is to adopt the language that Bright House
5 has proposed. Under that language, when a Bright House customer calls a
6 Verizon customer, Bright House will only pay the reciprocal compensation rate to
7 which the parties have agreed, because it is a local call to that customer. On the
8 other hand, if a Verizon customer makes a toll call to a Bright House customer,
9 Verizon would pay access charges to Bright House. This is completely
10 appropriate, however, because Verizon will be collecting toll revenues from its
11 customers.

12 **Q. HOW DOES YOUR PROPOSAL RELATE TO THE UNDERLYING**
13 **DEFINITIONS OF "TOLL SERVICE" AND "EXCHANGE ACCESS" IN**
14 **THE ACT?**

15 A. Bright House's definition will have the effect of matching up the payment of
16 access charges with the collection of toll charges from end users, which is just
17 what the definitions in the Act contemplate. If one of the parties charges its own
18 customers a toll charge to make a call that is terminated on the other party's
19 network, then access charges would apply, and the party imposing the toll charge
20 would pay them to the terminating party. On the other hand, if the party whose
21 customer is initiating the call is not charged a toll charge, then the call is simply

1 not "telephone toll service" traffic. When that call is delivered to the other party,
2 the originating party would pay reciprocal compensation, not access.

3 **Q. HOW DOES THIS APPROACH COMPORT WITH PRIOR**
4 **COMMISSION DECISIONS ON THIS TOPIC?**

5 A. It is in complete harmony with this Commission's decisions. Some years ago, the
6 Commission conducted a generic investigation of certain intercarrier
7 compensation questions, and concluded that the application of access charges to
8 calls between competing LECs should depend on the local calling areas
9 established by the originating carrier. In other words, if the originating carrier
10 charged its customer a toll (because the call crossed that carrier's local calling
11 zone boundary), then the originating carrier should pay access charges to the
12 terminating carrier. But if the call did not incur a toll (because it stayed within the
13 originating carrier's local calling zone), then the originating carrier should pay
14 reciprocal compensation, not access. The basis for this ruling was that using the
15 originating carrier's calling area for this purpose was competitively neutral. On
16 appeal, however, the court found that the Commission did not have enough
17 evidence in that case to reach that conclusion to apply in all situations as a default
18 rule. As a result, the Commission decided to eliminate the default rule and
19 instead to decide the question on a case-by-case basis in individual arbitration
20 proceedings.⁵³

⁵³ See Investigation into appropriate methods to compensate carriers for exchange of traffic subject to Section 251 of the Telecommunications Act of 1996, Docket No. 000075-TP, Order No. PSC-05-0092-FOF-TP Order Eliminating the Default Local Calling Area (January 24, 2005).

1 **Q. HOW DOES THIS RULING APPLY TO THE DISPUTE AT HAND?**

2 **A.** It applies in several ways. First, by referring the question to individual
3 “arbitration” proceedings, the Commission properly recognized that this issue
4 relates primarily to arrangements between a CLEC and an ILEC – exactly the
5 situation we have here.⁵⁴ Second, by focusing on a case-by-case determination of
6 competitive neutrality, the Commission has properly focused on direct facilities-
7 based competition between the ILEC and a CLEC.

8 Thus, and for the reasons discussed above, using the originating carrier’s calling
9 area to determine the application of reciprocal compensation in an ILEC-to-CLEC
10 interconnection agreement is indeed competitively neutral. This is particularly
11 true where, as in the case of Verizon and Bright House, the parties are actively
12 exchanging very large amounts of traffic, roughly balanced in each direction, and
13 generated from customers in the same geographic area. In this factual setting,
14 using the ILEC’s calling zones would have the effect of affirmatively suppressing
15 competition from a facilities-based CLEC by imposing extra costs any time the
16 CLEC tries to compete by establishing larger local calling zones. And, as
17 discussed above, by tying the obligation to pay terminating access charges to the
18 actual receipt by the originating carrier of toll charges, this approach not only

⁵⁴ The situation between, for example, two CLECs involves some very different policy considerations. For example, neither one has the advantage of incumbency, and even if two CLECs are certificated to serve the same geographic area, the degree of actual head-to-head, network-to-network competitive overlap may be much different than exists between a CLEC and an ILEC. As a result, the approach that makes the most sense to achieve competitive neutrality between an ILEC and a CLEC may or may not make sense in the case of arrangements between two CLECs.

1 makes sense from a basic economic perspective, it also complies with the relevant
2 definitions (“Exchange Access” and “Telephone Toll Service”) in the Act.

3 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO THE**
4 **DEFINITION OF “TOLL TRAFFIC”?**

5 A. The Commission should reject Verizon’s proposed definition, which is not
6 properly tethered to the relevant definitions in the Act, and instead adopt Bright
7 House’s proposed definition.

8 **Q. HOW DOES BRIGHT HOUSE PROPOSE TO DEFINE “RECIPROCAL**
9 **COMPENSATION TRAFFIC”?**

10 A. Bright House proposes to define “Reciprocal Compensation Traffic” as follows:

11 Telecommunications traffic exchanged between the Parties and
12 subject to Reciprocal Compensation under Applicable Law. For
13 avoidance of doubt, the Parties expressly acknowledge that in the
14 November 5, 2008 FCC Internet Order, the FCC ruled that Internet
15 Traffic is subject to Reciprocal Compensation and that, as a result,
16 Reciprocal Compensation Traffic includes Internet Traffic, subject
17 to the FCC’s rules and rulings regarding intercarrier compensation
18 applicable to such traffic.

19 Focusing for a moment on the first sentence of this definition, note that Bright
20 House proposes to define reciprocal compensation traffic with reference to
21 whether reciprocal compensation itself actually applies to the traffic under
22 applicable law. This is, obviously, completely logical. In this regard, in the
23 ruling referred to in the second sentence, the FCC clarified that reciprocal
24 compensation is, the “default” mode of compensation between local exchange
25 carriers.

1 **Q. PLEASE EXPLAIN WHAT YOU MEAN.**

2 A. The idea of reciprocal compensation between two interconnected carriers was
3 established by the Act. The new law, in Section 251(b)(5), simply states that
4 every local exchange carrier has the “duty to establish reciprocal compensation
5 arrangements for the transport and termination of telecommunications.” Nothing in
6 this definition suggests that any type of traffic at all is exempt from reciprocal
7 compensation. However, another section of the law, Section 251(g), states that
8 traditional access charge arrangements would remain in place until changed by
9 the FCC. The courts have made clear, however, that Section 251(g) is a
10 “transitional” mechanism that “grandfathers” in arrangements that existed prior to
11 the Act. So, essentially, reciprocal compensation applies to all traffic except true
12 “Telephone Toll Service” traffic, to which access charges apply.

13 **Q. HOW DOES THIS COMPARE WITH VERIZON’S PROPOSED**
14 **DEFINITION OF RECIPROCAL COMPENSATION TRAFFIC?**

15 A. Verizon’s proposed definition of Reciprocal Compensation traffic is extremely
16 complicated and confusing. This reflects Verizon’s desire to maximize the traffic
17 as to which it can impose (relatively high) access charges, and to minimize the
18 traffic as to which it can only impose (relatively low) reciprocal compensation
19 charges. Here is how Verizon proposes to define this term:

20 Telecommunications traffic originated by a Customer of one Party
21 on that Party’s network and terminated to a Customer of the other
22 Party on that other Party’s network, except for
23 Telecommunications traffic that is interstate or intrastate Exchange
24 Access, Information Access, or exchange services for Exchange

1 Access or Information Access. The determination of whether
2 Telecommunications traffic is Exchange Access or Information
3 Access shall be based upon Verizon's local calling areas as defined
4 by Verizon. Reciprocal Compensation Traffic does not include the
5 following traffic (it being understood that certain traffic types will
6 fall into more than one (1) of the categories below that do not
7 constitute Reciprocal Compensation Traffic): (1) any Internet
8 Traffic; (2) traffic that does not originate and terminate within the
9 same Verizon local calling area as defined by Verizon, and based
10 on the actual originating and terminating points of the complete
11 end-to-end communication; (3) Toll Traffic, including, but not
12 limited to, calls originated on a 1+ presubscription basis, or on a
13 casual dialed (10XXX/101XXXX) basis; (4) Optional Extended
14 Local Calling Scope Arrangement Traffic; (5) special access,
15 private line, Frame Relay, ATM, or any other traffic that is not
16 switched by the terminating Party; (6) Tandem Transit Traffic; (7)
17 Voice Information Service Traffic (as defined in Section 5 of the
18 Additional Services Attachment); or, (8) Virtual Foreign Exchange
19 Traffic (or V/FX Traffic) (as defined in the Interconnection
20 Attachment). For the purposes of this definition, a Verizon local
21 calling area includes a Verizon non-optional Extended Local
22 Calling Scope Arrangement, but does not include a Verizon
23 optional Extended Local Calling Scope Arrangement.

24 (emphasis in original.)

25 **Q. DO YOU HAVE ANY COMMENT ON VERIZON'S PROPOSED**
26 **DEFINITION?**

27 A. Yes, I do. Aside from its sheer length and complexity, the recurring theme of the
28 explicit exclusions that Verizon wants to impose is that any traffic that crosses a
29 Verizon local calling area boundary is *not*, in Verizon's view, Reciprocal
30 Compensation traffic. By the same token, nothing in Verizon's definition reflects
31 the fact that in order to actually constitute Telephone Toll Service traffic or
32 Exchange Access traffic under the definitions in the Act, there has to be a separate
33 charge for the traffic. In other words, Verizon is trying to make its own retail
34 marketing decisions about where its own customers can make free calls binding

1 on *Bright House* when the question is how much Bright House has to pay to send
2 traffic to Verizon.

3 This approach is anticompetitive and wrong, and the Commission should reject it.
4 Putting aside the language of the relevant definitions, in practical economic terms,
5 the requirement that Verizon proposes – under which Bright House would have to
6 pay access charges on any call that *Verizon* would treat as a toll call for a *Verizon*
7 customer – has the effect of imposing an economic penalty of Bright House for
8 competing with Verizon by means of offering its customers a wider local calling
9 area. This is not remotely “competitively neutral.” There is no conceivable
10 public policy reason to permit Verizon to impose such an economic penalty, and
11 the Commission should, therefore, reject Verizon’s proposed definition of
12 Reciprocal Compensation traffic, and adopt Bright House’s.

13 **Q. WHAT SHOULD THE COMMISSION DO WITH REGARD TO THIS**
14 **ISSUE?**

15 A. The Commission should adopt Bright House’s proposed definition of Reciprocal
16 Compensation Traffic, and reject Verizon’s definition. That said, I look forward
17 to reviewing Verizon’s testimony purporting to justify and explain its definition
18 of this term, and I expect to have additional comments to make on this issue in
19 rebuttal.

20 **Q. WHAT ARE THE DIFFERENCES BETWEEN THE PARTIES WITH**
21 **RESPECT TO THE DEFINITIONS OF “INTERNET TRAFFIC” AND**
22 **“MEASURED INTERNET TRAFFIC”?**

1 A. As the Commission is aware, there has been controversy over the years regarding
2 compensation for calls to dial-up Internet Service Providers. Verizon's definition
3 of "Internet Traffic" is apparently designed to address that problem (which does
4 not exist as between Bright House and Verizon), but is vague and uncertain.
5 Bright House's proposed definition, however, focuses directly on the type of
6 traffic that has been controversial:

7 **Bright House:** "Traffic in which a Customer or End User of a Party establishes a
8 dial-up connection to the modems or functionally equivalent equipment or
9 facilities of an Internet Service Provider by means of connections to the public
10 switched telephone network provided to the Internet Service Provider by the other
11 Party."

12 **Verizon:** "Any traffic that is transmitted to or returned from the Internet at any
13 point during the duration of the transmission."

14 Bright House's definition is much clearer and should be adopted.⁵⁵

15 **Q. DO YOU HAVE ANY CONCERNS WITH VERIZON'S DEFINITION OF**
16 **"MEASURED INTERNET TRAFFIC"?**

17 A. Yes. But with respect to "Measured Internet Traffic," the definitions are closer.
18 Bright House has proposed some modifications to Verizon's language to

⁵⁵ In addition, Verizon's definition could be misconstrued to cover VoIP traffic, which is completely distinct from the kind of one-way, dial-up ISP-bound calling that Verizon seems to be concerned about in general but has no bearing on its relationship with Bright House. Even though the parties have agreed on the treatment of VoIP traffic in the Interconnection Attachment, the ambiguity created by Verizon's proposed definition should be corrected.

1 eliminate the presumption that Verizon's local calling areas should control for
 2 rating purposes (see discussion above), and has proposed a clarifying reference to
 3 a recent FCC ruling that, in the course of clarifying the general application of
 4 reciprocal compensation, also ruled on the topic of calls to ISPs. Here is
 5 Verizon's proposed definition, marked to show Bright House's proposed changes:

6 ~~Dial-up, switched~~ Internet Traffic originated by a Customer of one
 7 Party on that Party's network at a point in ~~Verizon's~~ **that Party's**
 8 local calling area, and delivered to a ~~Customer or~~ **the modems or**
 9 **functionally equivalent equipment or facilities of** an Internet
 10 Service Provider served by the other Party ~~on that other Party's~~
 11 ~~network~~ at a point in the same ~~Verizon~~ local calling area. For the
 12 purposes of this definition, a Verizon local calling area includes a
 13 Verizon non-optional Extended Local Calling Scope Arrangement,
 14 but does not include a Verizon optional Extended Local Calling
 15 Scope Arrangement. Calls originated on a 1+ presubscription
 16 basis, or on a casual dialed (10XXX/101XXXX) basis, are not
 17 considered Measured Internet Traffic. For the avoidance of any
 18 doubt, Virtual Foreign Exchange Traffic (i.e., V/FX Traffic) (as
 19 defined in the Interconnection Attachment) does not constitute
 20 Measured Internet Traffic. **For avoidance of doubt, the Parties**
 21 **expressly acknowledge that in the November 5, 2008 FCC**
 22 **Internet Order, the FCC ruled that Internet Traffic is subject**
 23 **to Reciprocal Compensation and that, as a result, Reciprocal**
 24 **Compensation Traffic includes Internet Traffic, subject to the**
 25 **FCC's rules and rulings regarding intercarrier compensation**
 26 **applicable to such traffic.**

27 Bright House's proposed changes are completely reasonable and should be
 28 adopted.

29 *Issue 3*

30
 31 **Issue #3: Should traffic not specifically addressed in the ICA be treated**
 32 **as required under the Parties' respective tariffs or on a bill-**
 33 **and-keep basis?**

34 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #3?**

1 A. Despite the issues noted above regarding the definitions of different types of
2 traffic, the parties in fact generally agree on how traffic should be compensated.

3 **Q. PLEASE PROVIDE YOUR UNDERSTANDING OF THE AGREEMENT**
4 **ON PRICING.**

5 A. Bright House and Verizon have agreed that local traffic should be subject to a rate
6 of \$0.0007 per minute of use, toll traffic should be subject to tariffed access
7 charges, and (unless I misunderstand where things stand), meet point billing
8 traffic should be billed to the third party IXC. In addition, the parties have agreed
9 that they will treat traffic as local, toll, etc., without regard to whether it is
10 originated or terminated as VoIP traffic. They have agreed on the classification
11 and treatment of some other, more minor types of traffic as well. So it is a bit
12 hard to see what other types of traffic they might end up exchanging.⁵⁶

13 **Q. IF YOU CAN'T IDENTIFY ANY TRAFFIC THAT IS NOT ALREADY**
14 **ADDRESSED IN THE PROPOSED ICA, WHY IS THIS LANGUAGE**
15 **NECESSARY?**

16 A. As regulatory definitions and technology change, it is possible that some as-yet-
17 unidentified type of traffic might arise. The question then is what the agreement
18 should say about it.

19 **Q. WHAT DO THE TWO PARTIES PROPOSE?**

⁵⁶ Note that the dispute regarding what traffic counts as toll versus what traffic counts as local has no bearing on Issue #3. Whichever way that traffic is classified, it will fall into one "bucket" or the other, and so will not be unclassified.

1 A. Verizon proposes that any traffic for which a classification does not exist should
2 be assessed access charges. Thus, it would provide, in Section 8.4 of the
3 Interconnection Attachment, as follows: "Any traffic not specifically addressed in
4 this Agreement shall be treated as required by the applicable Tariff of the Party
5 transporting and/or terminating the traffic."

6 This, of course, is consistent with the point I made earlier, which is that ILECs
7 such as Verizon typically want their access charges – the highest rate in the
8 intercarrier compensation scheme -- to be the "default" rate for intercarrier
9 compensation. Bright House, however, proposes a more reasonable approach: an
10 initial small amount of "new" traffic will be exchanged on a bill-and-keep basis
11 (i.e., neither carrier charges the other one). Once the amount of such traffic
12 exceeds a certain low level, however, either party may initiate negotiations to
13 determine what the appropriate compensation for that traffic should be, with the
14 Commission available to resolve the dispute if the parties cannot agree.
15 Specifically, here is Bright House's proposed language:

16 Any traffic not specifically addressed in this Agreement shall be
17 exchanged on a "bill-and-keep" basis, with no intercarrier
18 compensation as between the Parties with respect to it. Either
19 Party may request negotiation of an amendment to this Attachment
20 to specify intercarrier compensation other than bill-and-keep for
21 any type of traffic not specifically addressed in this Agreement and
22 of which the Parties exchange at least a DS1's worth of traffic for a
23 period of no less than three (3) consecutive months. If the Parties
24 cannot agree on such an amendment either Party may invoke the
25 Dispute Resolution procedures of Section 14 of the General Terms
26 and Conditions of this Agreement.

27 In short, unless the parties are exchanging a DS1's worth of this undefined
28 traffic each month for three consecutive months, the traffic is exchanged

1 on a bill and keep basis. If and when that level is reached, the parties will
2 negotiate the appropriate intercarrier compensation for the traffic.

3 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO**
4 **THIS ISSUE?**

5 A. The Commission should adopt Bright House's proposal, which provides a
6 more balanced and sensible way to deal with the unlikely scenario that any
7 significant amount of presently unclassified traffic will flow between the
8 parties' networks. If it turns out that in some particular case, Verizon's
9 preferred outcome – tariffed rates – is appropriate, that is the result that
10 will eventually be reached. But there is no reason to assume in advance
11 that the highest possible tariffed rates, as opposed to a reciprocal
12 compensation rate, some other negotiated rate, or a bill-and-keep
13 arrangement, is the right way to bill for this presently unknown type of
14 traffic.

15 ***Issue 29***

16 **Issue #29: To what extent, if any, should parties be required to establish**
17 **separate trunk groups for different types of traffic?**
18

19 **Q. WHAT IS THE UNDERLYING DISPUTE REGARDING ISSUE #29?**

20 A. I am not certain that there actually is a dispute. In the industry generally,
21 sometimes carriers find it convenient to isolate traffic that has particular routing
22 or billing characteristics onto separate trunk groups. This traffic will typically be
23 carried on the same physical facilities as any other traffic, but will be, in effect,

1 electronically separated into its own grouping to make it easier to route it
2 properly, or apply special billing requirements to it properly. This is sometimes
3 referred to as logical assignment of trunks. Bright House has suggested language
4 that would permit either party to request that such separate trunk groups be
5 established, followed by good faith discussions between the parties, and
6 resolution by the Commission if the parties cannot agree.

7 **Q. PLEASE PROVIDE BRIGHT HOUSE'S PROPOSED LANGUAGE.**

8 A. Here is Bright House's specific proposed language, added to the end of Section
9 2.2.2 of the Interconnection Attachment:

10 Other types of trunk groups may be used by the Parties as provided
11 in other Attachments to this Agreement (e.g., 911/E-911 Trunks)
12 or in other separate agreements between the Parties (e.g., directory
13 assistance trunks, operator services trunks, BLV/BLVI trunks or
14 trunks for 500/555 traffic). In addition, either Party may
15 request the establishment of a separate trunk group for the
16 exchange of any type of traffic whose technical or billing
17 requirements make such a separate trunk group commercially
18 reasonable. If the Parties cannot agree within a period not to
19 exceed sixty (60) days on the establishment of a requested
20 separate trunk group, then either Party may invoke the
21 Dispute Resolution provisions of Section 14 of the General
22 Terms.

23
24 I cannot imagine why Verizon would object to this provision, which simply
25 embodies standard industry practices for managing multiple types of traffic
26 carried on the same physical facility. I will await a review of Verizon's testimony
27 in order to see if Verizon in fact objects to this language. But even if it does, the
28 Commission should nevertheless approve Bright House's proposal.

1 **Issue 31**

2
3 **Issue #31: Which party has administrative control over which**
4 **interconnection trunks, and what responsibilities, if any, flow**
5 **from that control?**

6 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #31?**

7 A. As far as I am aware, the dispute regarding this issue is actually very narrow.

8 While they have not yet settled on final language, the parties are agreed that
9 Bright House shall always have administrative control with respect to two-way
10 trunk groups (that is, trunk groups where traffic can go in either direction between
11 the parties). I understand that the parties also agree that administrative control
12 over one-way trunk groups (trunks where traffic only flows in one direction) rests
13 with the party who is originating the traffic over the trunk group.

14 **Q. IS THERE AN AGREEMENT ON WHAT "ADMINISTRATIVE**
15 **CONTROL" MEANS FROM AN OPERATIONAL PERSPECTIVE?**

16 A. Yes. The party with "administrative control" is responsible for monitoring the
17 usage on the trunk group and sending orders to the other party to either expand
18 the capacity (number of trunks) in the trunk group (if growing traffic warrants the
19 expansion) or decrease the number of trunks (if traffic is declining sufficiently to
20 warrant such a decrease).

21 **Q. ON WHAT ISSUE DO THE PARTIES DISAGREE?**

22 A. The one area of disagreement relates to language that Verizon has proposed to
23 deal with what it considers to be improper control of a trunk group. For instance,

1 Verizon suggests a situation in which Bright House has administrative control of a
2 trunk group; traffic on the trunk group is sufficiently low that the total number of
3 trunks should (based on standard engineering practices) be reduced; but for some
4 reason Bright House has not sent orders to take down some of the trunks. In that
5 case, Verizon proposes that it can *either* simply disconnect its end of those trunks
6 – thereby freeing up its network resources for other uses – *or* start billing Bright
7 House Verizon's tariffed rate for the underused trunks and trunk ports.

8 **Q. PLEASE EXPLAIN WHY VERIZON'S PROPOSAL IN**
9 **INAPPROPRIATE.**

10 A. To leave the unused trunks in place, but bill Bright House for them, is
11 inappropriate and, in fact, an invitation to disputes and abuse. The chance that the
12 situation addressed by this issue will actually arise is relatively small. But if it
13 does, and for some reason Bright House fails to submit orders to turn down an
14 appropriate number of trunks, that should not become a potential profit center for
15 Verizon. The only legitimate reason that Verizon would be concerned is that the
16 (by hypothesis, here) underused trunks could be put to a better use within
17 Verizon's network. The appropriate solution, therefore, is to permit Verizon to
18 free up the unused trunks for its own use.

19 **Q. HOW DO YOU PROPOSE TO RESOLVE THIS DISPUTE?**

20 A. The specific language at issue is set out below, with Bright House's proposed
21 changes shown against Verizon's initial proposal.

1 2.3.2 For each Tandem or End Office One-Way Interconnection
 2 Trunk group for delivery of traffic from ~~{CLEC}~~ **one Party** to the
 3 Verizon **other Party** with a utilization level of less than sixty
 4 percent (60%) for final trunk groups and eighty-five percent (85%)
 5 for high usage trunk groups, unless the Parties agree otherwise,
 6 ~~{CLEC}~~ **the Party with administrative responsibility for the**
 7 **trunk group** will promptly submit ASRs **to the other Party** to
 8 disconnect a sufficient number of Interconnection Trunks to attain
 9 a utilization level of approximately sixty percent (60%) for all final
 10 trunk groups and eighty-five percent (85%) for all high usage trunk
 11 groups. ~~In the event {CLEC}~~ **If the Party with administrative**
 12 **responsibility for the trunk group** fails to submit an ASR to
 13 disconnect One-Way Interconnection Trunks as required by this
 14 section, ~~Verizon~~ **then, on no less than thirty (30) days written**
 15 **notice, the other Party** may disconnect the excess Interconnection
 16 Trunks. ~~or bill (and ***CLEC Aeronym TE*** shall pay) for the~~
 17 ~~excess Interconnection Trunks at the rates set forth in the Pricing~~
 18 Attachment

19 For the reasons discussed above, Bright House's proposed language – and,
 20 specifically, its deletion of the option for Verizon to bill for unused trunks –
 21 should be adopted.

22 ***Issue 34***

23
 24 **Issue #34: Should performance measures apply to two-way trunks that**
 25 **are outside of Verizon's administrative control?**

26 **Q. WHAT IS THE UNDERLYING DISPUTE WITH RESPECT TO ISSUE**
 27 **#34?**

28 **A.** As with other issues relating to trunking, it is not clear to me that there is an actual
 29 dispute. As a general matter, if Verizon does not have administrative control over
 30 a trunk group, it should not be held responsible for problems on that trunk group,
 31 such as excessive traffic blocking caused by a failure to properly groom the group
 32 as traffic grows. On the other hand, every trunk group under the agreement has
 33 two ends – one on Verizon's network, and one on Bright House's. As a result,

1 even for trunk groups for which Bright House has administrative responsibility,
2 Verizon will still have a role to play. Specifically, when Bright House identifies a
3 need to add trunks to a trunk group, it must advise Verizon of the need to add
4 trunks, by means of an industry-standard form known as an “access service
5 request,” or ASR. Verizon must then respond to the ASR and coordinate with
6 Bright House to activate the additional trunks on the trunk group. If Verizon fails
7 to do this, performance on the trunk group will degrade, blockage will increase,
8 etc. So even where Bright House has administrative control, it is still possible for
9 Verizon to create a situation in which Verizon’s own actions degrade the
10 performance on the trunk group. It is not appropriate to include language in the
11 contract that would absolve Verizon of any consequences, under the contract, for
12 its own failures to perform.

13 That said, as I understand it, Verizon does not seek to escape responsibility for
14 responding to Bright House’s requests to modify a trunk group in an appropriate
15 and timely fashion. As a result, while the parties have not yet settled on final
16 language on this point, it is very likely that it will be resolved in the near future.

17 If it turns out that this is not the case, I will address this issue again in my rebuttal
18 testimony.

19 ***Issue 30***

20
21 **Issue #30: May Bright House unilaterally determine whether the Parties**
22 **will use one-way or two-way interconnection trunks?**

1 **Q. WHAT IS THE UNDERLYING DISPUTE WITH RESPECT TO ISSUE**
2 **#30?**

3 A. The FCC has ruled that the interconnecting CLEC gets to decide whether the
4 trunk groups it establishes to exchange traffic with Verizon are one-way trunk
5 groups or two-way trunk groups.⁵⁷ Indeed, FCC Rule 51.305(f) specifically and
6 unequivocally states: “If technically feasible, an incumbent LEC *shall provide*
7 two-way trunking *upon request.*” 47 C.F.R. § 51.305(f) (emphasis added). I am
8 not a lawyer, but this language does not seem to provide much room for doubt.
9 Assuming that two-way trunks between Verizon and Bright House are technically
10 feasible – and they clearly are (and are in service today) – then Verizon must
11 provide that type of trunking to Bright House “upon request” – that is, at Bright
12 House’s unilateral option.

13 Bright House’s language simply implements this clear regulatory command into
14 the language of the ICA, in order to avoid any disputes. Despite this language,
15 Verizon apparently does not believe that Bright House has that right, and so wants
16 the matter to be subject to negotiation and discussion between the parties.

17 **Q. BY WAY OF BACKGROUND, WHAT ARE TWO-WAY TRUNK**
18 **GROUPS, AS OPPOSED TO ONE-WAY TRUNK GROUPS?**

19 A. A one-way trunk is a trunk between two switching centers (either on one carrier’s
20 network, or as in the case of interest in this arbitration, between two carriers’
21 interconnected networks), over which traffic may be originated from only one of

⁵⁷ See, *Local Competition Order* at ¶ 219.

1 the two switching centers. The traffic carried on a one-way trunk, of course, will
2 likely consist of two-way communications once a call is established, so the “one-
3 way” label refers only to the origin of the demand for connection. The originating
4 end of a one-way trunk is referred to as the “outgoing trunk” while the other end
5 is known as the “incoming trunk.” By comparison, a two-way trunk allows calls
6 to originate from both ends of the trunk. In this arrangement, depending upon
7 where the call originates, both ends of the trunk can serve as an “incoming trunk”
8 and “outgoing trunk,” and both parties can send traffic originated from either of
9 the two carriers’ networks back and forth on the facility.

10 **Q. WHY DOES IT MATTER WHETHER TRUNK GROUPS ARE ONE-WAY**
11 **OR TWO-WAY?**

12 A. Depending on the engineering details of the traffic between the two networks,
13 using two-way trunks can be more efficient than using one-way trunks. The most
14 efficient type of trunk can depend on traffic patterns at a particular location. For
15 instance, if the traffic being exchanged between the parties at a particular location
16 is almost all initiated in one direction, one-way trunks could be the most efficient
17 option, and if the traffic is less lopsided, two-way trunks would likely be more
18 efficient. Bright House wants to be sure that it has the right to direct when two-
19 way trunks will be used in order to ensure that it can obtain those efficiencies.

20 **Q. WHY WOULD TWO-WAY TRUNKS BE MORE EFFICIENT THAN**
21 **ONE-WAY TRUNKS?**

1 A. It is probably best to explain this using an analogy. Imagine that a new, multi-
2 lane freeway is going to be built between a large city and a “bedroom
3 community” where people who work in the city live. One question the road
4 planners will need to decide is how wide to make the new freeway – that is, to
5 decide on the maximum number of physical lanes of traffic that the freeway can
6 accommodate. The physical, concrete freeway in this example is analogous to the
7 physical transmission facility that will be set up between the two networks –
8 ranging, in theory, from a single copper wire that could only carry one call (this
9 would be a single “trunk”) to a dense wave-division-multiplexed optical fiber
10 connection that could carry millions of calls.

11 But the raw size of the facility isn’t the only consideration. Suppose that during
12 the morning rush hour, traffic into the city will fill six lanes of the freeway, while
13 outbound traffic will only take two lanes. And suppose that during the afternoon
14 rush hour, the situation is reversed – six lanes’ worth of traffic outbound, and only
15 two inbound.

16 One way to deal with this type of traffic flow would be to simply build a 12-lane
17 freeway, with six lanes in each direction. But if the highway planners did that,
18 most of the lanes on the freeway would be unused, most of the time. So the
19 planners might well choose instead to build an 8-lane freeway with the middle
20 lanes “reversible.” In this configuration, during the morning rush hour, there
21 would be six lanes going in and two coming out; during the evening rush hour,
22 there would be six lanes going out and two going in; and at other times, there
23 would be four lanes in each direction. With this type of arrangement, traffic that

1 would take 12 lanes to accommodate if each lane was always "one-way" can be
2 handled on only 8 lanes if the traffic can flow in both directions.

3 The same potential for savings exists in using two-way trunks instead of one-way
4 trunks. As long as the heaviest calling volumes outbound from Verizon to Bright
5 House occur at a different hour of the day than the heaviest calling volumes
6 inbound to Verizon from Bright House (analogous to the inbound and outbound
7 morning and evening rush hours), the total number of trunks needed in a two-way
8 trunk group will be less than the total number of trunks needed using one-way
9 trunks.

10 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
11 **#30?**

12 A. The Commission should adopt Bright House's proposed language that permits it
13 to choose when to use 2-way trunks. Putting aside the fact that Bright House's
14 position seems to be literally compelled by the FCC's rules on this topic, as a
15 policy matter, Bright House has every incentive to engineer its network in the
16 most efficient manner. Verizon should not be allowed to control the type of
17 trucks that Bright House needs for traffic exchange.

18 ***Issue 32***

19 **Issue #32: May Bright House require Verizon to accept trunking at DS-3**
20 **level or above?**
21

22 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #32?**

1 A. As network technology has advanced over the last thirty to forty years, it has
2 become easier and more efficient to transmit traffic at higher and higher data
3 rates. The basic unit of voice data transmission in digital format is known as a
4 “DS-0,” which refers to a single voice path. Starting in the 1960s, telephone
5 company engineers figured out how to “multiplex” together a number of separate
6 voice signals onto a more efficient facility. The first step up from a DS-0 – a
7 technical achievement in its time, but now roughly forty years old – is to
8 multiplex 24 separate DS-0 signals together to create a “DS-1” signal. By the
9 early 1980s, even higher data transmission rates were common. Apparently for
10 historical reasons, there is no “DS-2” in use; the next signal level is the “DS-3,”
11 which is the equivalent of 28 DS-1s, or 672 individual DS-0 voice signals. Again,
12 this was an impressive achievement in its time, but the deployment of this level of
13 signal multiplexing in commercial applications is on the order of 30 years old.

14 The 1980s saw the widespread deployment of optical fiber in communications
15 networks. Optical signals can carry vastly more information than electrical
16 signals on copper. There is an established set of standard optical signal levels, the
17 smallest of which is the OC-3, which is equivalent to three DS-3s. For large
18 networks, interconnection at the OC-12, OC-48, OC-192, or even higher levels
19 are common.

20 **Q. VERIZON WANTS TO USE DS-1 LEVEL INTERFACES FOR**
21 **EXCHANGING TRAFFIC WITH BRIGHT HOUSE. IS THAT A**
22 **REASONABLE PROPOSAL?**

1 A. No. Despite the fact that the DS-1-level interface is a nearly forty-year-old
2 technology, Verizon insists that Bright House is obliged to deliver traffic to
3 Verizon at this extremely low data rate. This is an unjust and unreasonable
4 restriction on Bright House's ability to interconnect "efficiently" with Verizon.

5 As noted above, Bright House has hundreds of thousands of customers in the
6 Tampa/St. Petersburg area, and Verizon has, we believe, even more. At the
7 busiest time of the day, therefore, there will be thousands and thousands of
8 simultaneous conversations ongoing between Verizon customers and Bright
9 House customers. A requirement that interconnection occur at the DS-1 level
10 means that those thousands and thousands of simultaneous calls have to be broken
11 down into groups of 24, for no reason at all other than to accommodate Verizon's
12 (apparently) obsolete switching equipment.

13 In this regard, as I noted above in connection with the discussion of TELRIC
14 pricing for entrance facilities, Verizon is obliged to offer interconnection to Bright
15 House that is at least equal in quality to that which Verizon provides to itself or to
16 any other interconnector or third party.

17 **Q. WOULD YOU EXPECT VERIZON TO USE DS-3 OR HIGHER**
18 **CONNECTIVITY GIVEN THE COMMON AVAILABILITY OF THAT**
19 **TECHNOLOGY?**

20 A. Yes. I would expect Verizon to seek to reduce costs by using the highest possible
21 capacity connections for the traffic in question. For instance, I would expect

1 Verizon to use DS-3 or even higher connectivity for itself for intermachine
2 trunking or for exchanging traffic with affiliates or third parties.

3 **Q. IF VERIZON DOES USE DS-3 CONNECTIVITY OR HIGHER FOR**
4 **ITSELF OR FOR AFFILIATES, IS IT YOUR UNDERSTANDING THE IT**
5 **MUST OFFER THAT SAME CAPABILITY TO BRIGHT HOUSE?**

6 A. Yes. Indeed, even if it does not today provide higher-data-rate interconnection to
7 others, in light of how far transmission and switching technology has evolved
8 since the DS-1 interface was created, it is not reasonable for Verizon to sit on its
9 hands and expect a more modern network like Bright House to pay to slow its
10 transmissions down to the level that Verizon demands. At some point – which, I
11 submit, has long passed – Verizon has to take steps to ensure that its network is
12 capable of interconnecting on reasonable terms – and at reasonable data rates –
13 with other carriers like Bright House.

14 **Q. ARE THERE ANY OTHER CONSIDERATIONS THAT LEAD TO THIS**
15 **SAME CONCLUSION?**

16 A. Yes. Although the disputes about interconnection costs between Bright House
17 and Verizon appear to be relatively minor, it is worth noting that the FCC has
18 long held that an ILEC can only charge a CLEC the “TELRIC”-based costs of
19 interconnection arrangements. TELRIC stands for “Total Element Long Run
20 Incremental Cost,” and refers to the cost that would be incurred, in the future and
21 over the long run, by an efficient carrier, to perform a particular function. In
22 economic policy terms, TELRIC is a “forward looking” cost standard.

1 **Q. DOES THE TELRIC METHODOLOGY ALSO ASSUME THE MOST**
2 **EFFICIENT AVAILABLE TECHNOLOGY?**

3 A. Yes. As discussed above, the FCC has specifically noted that “Costs must be
4 based on the incumbent LEC’s existing wire center locations and most efficient
5 technology available.”⁵⁸ An efficient network interconnection arrangement today
6 and in the future would not occur at a signal level as low as DS-1. The standard
7 would be DS-3, OC-3, or higher. As a result, the appropriate forward-looking
8 cost associated with taking in the DS-3 or OC-3 signal that Bright House would
9 like to send to Verizon and stepping it down to DS-1 is zero. This is because, in
10 an efficient network today and in the future, those costs would never be incurred
11 at all.

12 From this perspective, Verizon can be viewed as having a choice – either provide
13 direct DS-3 or higher level interfaces to Bright House, or incur, itself, whatever
14 costs might be involved in demultiplexing the DS-3 or higher level signals down
15 to the DS-1 level. If Verizon chooses to maintain obsolete switches that can only
16 accept DS-1 level inputs, I suppose it may do so, but under the TELRIC pricing
17 standard Verizon is barred from imposing any of the costs associated with that
18 obsolete, inefficient choice on Bright House.

19 **Q. DO ANY OTHER FACETS OF THE 1996 ACT SUPPORT THE VIEW**
20 **THAT VERIZON SHOULD BE REQUIRED TO PROVIDE**
21 **INTERCONNECTION AT DS-3 OR HIGHER LEVELS?**

⁵⁸ *See e, Local Competition Order* at ¶¶ 685, 690. *See also* the FCC’s Rules §51.505(b)(1) regarding “efficient network configuration.”

1 A. Yes. I would note that federal law expressly empowers states to impose state-
2 specific interconnection requirements that go beyond what federal law requires.⁵⁹

3 It is possible that Verizon could argue that there is no specific federal requirement
4 that it provide DS-3 or OC-level interfaces. If it makes that argument, I would
5 note that if DS-3 or OC-level interconnection is a good idea – and it is – then
6 there is no reason for Florida or any other state to sit on its hands when the issue
7 comes up in an arbitration, as it has here.

8 **Q. ARE THERE OTHER REASONS WHY VERIZON SHOULD NOT BE**
9 **ALLOWED TO CHARGE BRIGHT HOUSE FOR DEMULTIPLEXING**
10 **THE SIGNAL DOWN TO THE VERIZON LEVEL?**

11 A. Yes. As discussed above, the FCC’s rules define the “transport” component of
12 the “transport and termination” of traffic as, essentially, everything that needs to
13 be done to get the traffic from the physical point of interconnection between the
14 two networks out to the end office switch serving the called party. See 47 C.F.R.
15 § 51.701(c). Here, Bright House and Verizon have agreed that the combined per-
16 minute rate for all transport and termination functions shall be \$0.0007 per
17 minute. To the extent that Verizon needs to demultiplex a signal from Bright
18 House in order to put that signal into an acceptable format for Verizon’s switches,
19 that demultiplexing is simply part of the transport function. Verizon cannot
20 charge separately for that function, beyond the \$0.0007/minute already agreed to.

⁵⁹ See, *Local Competition Order*, ¶¶ 133-137.

1 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
2 **#32?**

3 A. The Commission should adopt Bright House's proposed language in Section 2.4.6
4 of the Interconnection Attachment, and require Verizon to interconnect at DS-3 or
5 OC-3 levels, upon Bright House's request. Further, Verizon should not be able to
6 charge Bright House in those cases where its technology requires demultiplexing
7 the traffic from Bright House.

8 ***Issue 33***

9 **Issue #33: May charges be assessed for the establishment or provision of**
10 **local interconnection trunks or trunk groups?**
11

12 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #33?**

13 A. As part of making arrangements to exchange traffic, Verizon and Bright House
14 have to establish trunks and trunk groups to carry that traffic. Every trunk will
15 have two ends that have to be established at the same time, and coordinated – one
16 end on Bright House's network and one end on Verizon's network. Verizon
17 proposed language that indicates that when an interconnection trunk group is
18 established, it can charge Bright House a non-recurring (one-time) set-up charge
19 for the trunk.

20 **Q. WILL VERIZON AGREE TO PAY BRIGHT HOUSE A SIMILAR NRC**
21 **FOR SETTING UP THE BRIGHT HOUSE TRUNKS?**

22 A. No. Verizon has stated that it will not agree to pay Bright House any similar or
23 offsetting set-up charge for the essentially identical work that Bright House has to

1 do for each trunk. Particularly with two-way trunks, the trunks will be used by
2 Verizon to send traffic to Bright House, just as they will be used by Bright House
3 to send traffic to Verizon. There is no reason that Bright House should be
4 charged for setting up those trunks, and yet be unable to charge Verizon for its
5 work on the same trunks.

6 But the same result is also appropriate for any one-way trunks the parties may
7 establish. It is true that Bright House may establish one-way trunks to Verizon
8 because Bright House customers want to call Verizon customers, but it is equally
9 true that Verizon's customers want to receive those calls. The same is true for
10 one-way trunks from Verizon to Bright House. The fact is that with customer
11 bases for both parties that number in the hundreds of thousands, simply providing
12 good service to their own customers requires both Verizon and Bright House to
13 undertake a variety of efforts to ensure that traffic flows smoothly between the
14 networks. For this reason, Bright House has proposed language that ensures that
15 there will be no charges between the parties for establishing interconnection
16 trunks.

17 **Q. ARE THERE ANY OTHER CONSIDERATIONS RELEVANT TO THIS**
18 **ISSUE?**

19 A. Yes. Verizon's work in setting up "trunks" for the exchange of traffic occurs
20 entirely on its network, and entirely on its side of the point of physical
21 interconnection between the two networks. And, in practical terms, setting up a
22 trunk is part of what Verizon has to do to properly get the traffic from the point of

1 interconnection between the networks to the end office switch serving the called
2 party. As a result, setting up a trunk is part of the “transport” function for which
3 the parties have already agreed to a \$0.0007/minute rate. Since this function is
4 already embraced by that rate, neither party should charge the other for it.

5 **Q. WHAT POSITION SHOULD THE COMMISSION ADOPT WITH**
6 **RESPECT TO ISSUE #33?**

7 A. The Commission should adopt Bright House’s language and forbid the parties
8 from charging each other for establishing interconnection trunks.

9 ***Issue 36***

10 **Issue #36: What terms should apply to meet-point billing, including**
11 **Bright House’s provision of tandem functionality for exchange**
12 **access services?**
13

14 (a) **Should Bright House remain financially responsible for**
15 **the traffic of its affiliates or other third parties when it delivers**
16 **that traffic for termination by Verizon?**

17 (b) **To what extent, if any, should the ICA require Bright**
18 **House to pay Verizon for Verizon-provided facilities used to**
19 **carry traffic between interexchange carriers and Bright**
20 **House’s network?**

21 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #36?**

22 A. There are a few interrelated disputes. First, though, it does not appear that the
23 parties disagree about the basic idea of how meet point billing works. As
24 described above, when a third-party IXC sends traffic to Verizon’s tandem and
25 then to Bright House for termination, they agree that Verizon should bill the IXC
26 for the services that Verizon provides, and that Bright House should bill the IXC

1 for the services that Bright House provides. The disputes center on some of the
2 details of how a meet point billing arrangement will be implemented, and on how
3 to handle the situation where Bright House, rather than Verizon, might provide
4 the tandem switching function.

5 **Q. WHAT IS THE DISPUTE REGARDING THE DETAILS OF**
6 **IMPLEMENTING MEET POINT BILLING WHERE VERIZON**
7 **PROVIDES TANDEM SWITCHING?**

8 A. The key to a meet point billing arrangement is identifying a specific point at
9 which one carrier's responsibility begins and the other carrier's responsibility
10 ends. Once that point is established, it is the responsibility of each carrier to
11 build, or purchase, facilities to "meet" the other carrier at that "point."

12 **Q. DOES IT MAKE SENSE FOR THE MEET POINT TO BE THE SAME AS**
13 **THE POINT WHERE OTHER TRAFFIC IS EXCHANGED?**

14 A. Yes. Logically, in an interconnection arrangement where the parties will have
15 established a point for the exchange of local traffic, it would seem to make sense
16 to use that same point as the meet point for purposes of third-party IXC traffic.

17 At least in the past, however, it appears that Verizon has insisted that the "meet
18 point" for purposes of exchanging third-party IXC traffic would be at a different
19 location than the local interconnection "meet point." Specifically, while the
20 interconnection point for local traffic might exist at a Verizon end office
21 convenient to Bright House's facilities, Verizon has insisted that the meet point

1 for IXC traffic be a port on Verizon's tandem switch. On this theory, Verizon has
2 charged Bright House for the connection from the physical point where the parties
3 exchange traffic, up to the tandem switch.

4 **Q. WHAT DOES BRIGHT HOUSE PROPOSE AS A WAY OF DEALING**
5 **WITH THIS ISSUE?**

6 A. While Bright House and Verizon can of course agree that the meet point for
7 purposes of billing IXCs can be anywhere they want, the "default" case should be
8 that the meet point for purposes of jointly-provided access to IXCs should be the
9 same physical point at which they exchange their local traffic. After all, the basic
10 statutory provision setting out the parties' interconnection rights and duties –
11 Section 251(c)(2) of the Act – says that the interconnection arrangements
12 established under it are for the "transmission and routing" of telephone exchange
13 service traffic (that is, broadly speaking, "local" traffic), *and* "exchange access" –
14 which, as discussed above, is any traffic associated with toll calls. The statute
15 does not make any distinction between "exchange access" associated with a
16 party's own toll services provided to its own end users, and "exchange access"
17 associated with toll services provided to third-party IXCs.⁶⁰

18 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO THIS**
19 **ASPECT OF ISSUE #36?**

⁶⁰ Indeed, when the Act was being debated and passed, so-called "competitive access providers," or CAPs, were a significant force in the industry. These entities provided competitive connections between long distance carriers and either large customers or ILEC switches. So, the traffic that they would have been exchanging with ILECs, and that the statute was intended to cover, would have been third-party IXC traffic.

1 A. The Commission should approve Bright House's proposed language, and confirm
2 that unless the parties expressly agree otherwise, that the physical point of
3 connection between their networks established under the ICA for the exchange of
4 local traffic is also the "meet point" between them for purposes of implementing
5 the meet point billing rules.

6 **Q. WHAT IS THE DISPUTE SET OUT IN ISSUE 36(b), REGARDING**
7 **BRIGHT HOUSE REMAINING "FINANCIALLY RESPONSIBLE" FOR**
8 **THIRD-PARTY OR AFFILIATED TRAFFIC DELIVERED TO**
9 **VERIZON?**

10 A. I am not entirely sure what Verizon is concerned about with this aspect of this
11 issue. If Bright House sends its own intraLATA toll traffic to Verizon, then
12 Bright House agrees that it should pay access charges to Verizon to terminate that
13 traffic. On the other hand, if a third party, including an IXC affiliated with Bright
14 House, sends toll traffic to Verizon by way of Bright House's network, then that
15 would be a simple meet point billing situation, in which Bright House, rather than
16 Verizon, is providing the tandem switching functionality. To that extent, this
17 aspect of the issue seems to be identical to the main question of Bright House
18 providing tandem functionality, which I discuss below. If there is more to
19 Verizon's concern that this, hopefully their testimony will explain it, and I can
20 respond in my rebuttal testimony.

21 **Q. WHAT IS THE DISPUTE REGARDING BRIGHT HOUSE ACTING AS A**
22 **PROVIDER OF TANDEM FUNCTIONALITY?**

1 A. Much like several other issues, I do not fully understand Verizon's objection here.

2 The basic situation is this: the trunk groups that the parties have established for
3 the exchange of local traffic run directly between Bright House's network and
4 Verizon's end office switches. (The parties have some trunks that go to Verizon's
5 tandem to handle overflow traffic, but the volume of traffic that the parties
6 exchange makes it economical for there to be direct end office trunks, sometimes
7 called DEOTs, between the two networks.)

8 Bright House would like the opportunity to compete with Verizon for the
9 provision of "tandem" functionality to third-party IXCs. That is, today, a long
10 distance carrier that wants to connect at a single point in the Tampa/St. Petersburg
11 area to reach essentially all end offices in the area will connect to Verizon's
12 access tandem. That switch is connected not only to Verizon's end offices, but
13 also to Bright House. But, as noted, Bright House's network is also connected to
14 Verizon's end offices. Bright House, therefore, would like to be able to use those
15 connections – the DEOTs noted above – to carry third-party IXC traffic bound for
16 Verizon end offices.

17 This would be handled as a typical meet point billing arrangement: Bright House
18 would bill the IXC for tandem switching and transport to the hand-off point with
19 Verizon, and Verizon would bill the IXC for transport from that point to the end
20 office, end office switching, etc.

21 For reasons that Verizon has never adequately explained, it has refused to accept
22 various proposals that Bright House has made that would acknowledge in the

1 interconnection agreement that this type of arrangement – where Bright House,
2 rather than Verizon, provides tandem switching – could occur. Yet Verizon’s own
3 contract language expressly deals with the situation in which Verizon itself
4 provides tandem switching.

5 **Q. IS THERE ANY REASON TO EXCLUDE TRAFFIC HANDLED VIA**
6 **BRIGHT-HOUSE-PROVIDED TANDEM SWITCHING FROM THE**
7 **AGREEMENT?**

8 A. No, none at all. As noted above, the basic statute calling for the establishment of
9 interconnection arrangements states that those arrangements may be used for the
10 exchange of “exchange access” traffic. A meet point billing situation where
11 Bright House provides tandem functionality and Verizon provides end office
12 functionality falls squarely within that category. Again, I do not understand the
13 basis for Verizon’s refusal to agree with this suggestion.

14 **Q. IN THESE CIRCUMSTANCES, WHAT SHOULD THE COMMISSION**
15 **DO WITH RESPECT TO ISSUE #36?**

16 A. The Commission should accept Bright House’s language that would clearly
17 establish that the parties may use the interconnection arrangements established
18 under the agreement for meet point billing traffic where Bright House, not
19 Verizon, provides the tandem functionality.

20 *Issues 38 and 39*

21

1 **Issue #38: Should there be a limit on the amount and type of traffic that**
2 **Bright House can exchange with third parties when it uses**
3 **Verizon's network to transit that traffic?**

4 **Issue #39: Does Bright House remain financially responsible for traffic**
5 **that it terminates to third parties when it uses Verizon's**
6 **network to transit the traffic?**

7 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE NOS. 38 AND 39?**

8 A. This dispute has been almost entirely settled in principle, even though the parties
9 have not yet settled on final language. At a high level, Verizon and Bright House
10 agree that Bright House may use Verizon's network (essentially, its tandem
11 switch) to send "transit" traffic to third parties connected to Verizon's tandem.
12 They agree that as between Verizon and Bright House, Verizon should not be
13 liable to the third party for termination charges associated with the Bright-House
14 originated traffic. They agree that if Verizon is billed for such charges, there
15 should be a form of "indemnification" procedure where Verizon would forward
16 the bills to Bright House for Bright House to deal with – that is, to pay them if
17 appropriate, dispute them where need be, etc. And the parties agree that when the
18 traffic between Bright House and some particular third party reaches some
19 appropriate level, Bright House should be required to make commercially
20 reasonable efforts to either directly connect with the third party or, at least, find
21 some way other than via Verizon's tandem to get the traffic there.

22 I expect that Verizon's testimony on this point will reflect these points, and that,
23 in any event, the parties will work out agreed language on this point in the near
24 future. If I am mistaken about that, then Bright House's position – even if
25 Verizon does not agree with it – is that the basic structure outlined above is

1 reasonable, and that the parties' agreement should contain language that
2 implements it.

3 ***Issue 40***

4
5 **Issue #40: To what extent, if any, should the ICA require Verizon to**
6 **facilitate negotiations for direct interconnection between**
7 **Bright House and Verizon's affiliates?**

8 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #40?**

9 A. Verizon's basic position regarding transit traffic, as evidenced by its stance on
10 Issue Nos. 38 and 39, is that it does not want to be involved in providing transit
11 service between Bright House and third parties. Yet among the third parties with
12 whom Bright House exchanges a great deal of traffic are Verizon Wireless and
13 Verizon's long distance affiliate. Bright House has proposed language that would
14 oblige Verizon to provide commercially reasonable efforts to facilitate Bright
15 House being able to establish direct connections to Verizon's affiliates, thereby
16 eliminating the load on Verizon's tandem switch and other facilities associated
17 with providing tandem transit service. If Verizon fails to provide such
18 cooperation, it cannot charge for transiting traffic between Bright House and its
19 affiliates. Verizon objects to this language.

20 **Q. WHY IS BRIGHT HOUSE'S PROPOSAL APPROPRIATE?**

21 A. Bright House's proposal essentially calls on Verizon to "put its money where its
22 mouth is" regarding transit service. If Verizon's rates for transit service are
23 adequate – and Verizon has not suggested that they are not – then there is no need

1 for any concern about how much traffic that Bright House might send, via
2 Verizon, to third parties. Yet in connection with Issue Nos. 38 and 39, Verizon
3 has insisted on these limits. At least when the third party is affiliated with
4 Verizon, it should be a straightforward matter to help work out a direct connection
5 arrangement between Bright House and the affiliate. If Bright House refuses to
6 do so, that strongly suggests that Verizon is actually profiting from the transiting
7 arrangement. This would mean that that Verizon is inappropriately trying to
8 retain the status of a “middleman” between Bright House and Verizon’s affiliates.
9 Bright House’s proposed language does not permit Verizon to exploit its
10 middleman status unless it at least makes commercially reasonable efforts to
11 allow Bright House to avoid paying Verizon for that role.

12 **Q. HAVE ANY OTHER REGULATORS ADOPTED THIS APPROACH?**

13 A. Yes. In an arbitration in Puerto Rico (conducted under the Act, which applies
14 fully in that jurisdiction), the local ILEC there was simultaneously charging the
15 CLEC for transiting calls to the ILEC’s wireless affiliate, but refusing to
16 cooperate with the CLEC in establishing direct connections to that wireless
17 affiliate. The CLEC presented a proposal similar to that proposed by Bright
18 House here, and the regulator accepted it.⁶¹ While the matter was on appeal to
19 federal court, the necessary direct connections were established. Later, the federal

⁶¹ See Report and Order, Case No. JRT-2008-AR-0001 (Telecommunications Regulatory Board of Puerto Rico, August 11, 2008); *Centennial Puerto Rico License Corp. v. Telecommunications Regulatory Board*, Civ. Nos. 08-cv-2436, 09-cv-1002 (D.P.R. 2009). As I understand it, the ILEC in that case has appealed the matter to the federal court of appeals with jurisdiction over Puerto Rico. But whatever its exact legal status, in my view the logic of the regulators’ decision on this issue is entirely sound.

1 district court approved the regulator's decision. The Puerto Rico ILEC has now
2 appealed the matter to the 1st Circuit, so it technically remains pending. However,
3 the ease with which the direct connections were established once the incentive to
4 do so was established in an interconnection agreement shows that this is an
5 effective and reasonable way to prevent the ILEC from exploiting its position as
6 the "middleman" between a CLEC and the ILEC's own carrier affiliates.

7 **Q. HOW SHOULD THE COMMISSION RESOLVE THIS DISPUTE?**

8 A. The Commission should reject Verizon's position as self-serving and not in the
9 public interest. Bright House's language should be adopted as consistent with the
10 Act's pro-competitive policies.

11 ***Issue 41***

12
13 **Issue #41: Should the ICA contain specific procedures to govern the**
14 **process of transferring a customer between the parties and the**
15 **process of LNP provisioning? If so, what should those**
16 **procedures be?**

17 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #41?**

18 A. A key aspect of facilities-based competition between separate networks, such as
19 that which exists between Bright House and Verizon, is smoothly handling the
20 transfer of a customer from one network to the other when a customer chooses to
21 switch carriers and keep their number. Over the past several years, Bright House
22 has had at least two significant disputes with Verizon regarding such issues. One
23 dispute involved Verizon refusing to port the telephone numbers of customers
24 who were buying Verizon's DSL service on their telephone lines; the other was

1 the dispute regarding Verizon's retention marketing activities based on the use of
2 confidential information Bright House provided to Verizon in connection with
3 arranging for number porting, etc.

4 In these circumstances, Bright House has concluded that it is reasonable and
5 prudent to include in the parties' interconnection agreement an express set of
6 procedures to clearly "choreograph" what happens when a customer moves from
7 one carrier to another. Such a set of procedures will provide a convenient
8 contractual point of reference for the parties' operational personnel. In addition,
9 Bright House has expressly provided that either party may convene negotiations
10 to discuss any issue regarding how to "reasonably, efficiently and safely transfer a
11 Customer/End User" from one party to the other. This sets up a reasonable
12 contractual mechanism for identifying and resolving any disputes or issue that
13 might arise over time.

14 **Q. HAS VERIZON REJECTED BRIGHT HOUSE'S PROPOSAL?**

15 A. Verizon has not objected to any particular element of Bright House's proposal,
16 but has taken the position that the overall idea of a consolidated statement of
17 customer transfer procedures is unnecessary.

18 **Q. CAN YOU GIVE AN EXAMPLE OF WHY THIS TYPE OF**
19 **"CHOREOGRAPHY" OF CUSTOMER TRANSFERS IS IMPORTANT?**

20 A. Certainly. Suppose a customer decides to switch service from Verizon to Bright
21 House and that the service is supposed to be transferred on a Friday. In advance

1 of the installation date, Verizon and Bright House will have coordinated the
2 “porting” of the customer’s number to Bright House. One aspect of that
3 coordination is to establish what is known as a “10-digit trigger” so that the
4 customer will continue to be able to receive calls on their Verizon line, until the
5 porting is actually completed.

6 This matters because sometimes, at the last minute, a customer is unavailable or
7 has to change the install date and so the installation of service by Bright House
8 has to be put off. In that case, the 10-digit-trigger has to remain in place until the
9 installation can be rescheduled.

10 **Q. HOW DOES BRIGHT HOUSE’S LANGUAGE ACCOMMODATE THAT**
11 **NECESSITY?**

12 A. Bright House has proposed language in Section 15.2.4 of the Interconnection
13 Attachment that ensures in those circumstances that the customer’s service will
14 not be disrupted during the period that the installation is rescheduled.
15 Unfortunately, as I understand it, some customers have complained about service
16 disruptions in these circumstances.

17 The attachment regarding the transfer of customers explicitly requires the parties
18 to follow those procedures, but also contains a mechanism by which they can both
19 discuss any issues, and bring any unresolved matters to the Commission for
20 resolution.

1 This is simply one example of why it is important for the parties' ICA to
2 explicitly address the issues surrounding the transfer of customers. This is an
3 important part of the new agreement, and the Commission should accept Bright
4 House's proposal.

5 **Q. WHAT SHOULD THE COMMISSION DO WITH REGARD TO ISSUE**
6 **#41?**

7 A. The Commission should approve Bright House's proposals because they are key
8 to a smooth and transparent transfer of customers between competitors. It seems
9 clear that both parties, as well as consumers, will benefit from having these
10 procedures fully laid out in a single, convenient portion of the parties' agreement.

11 ***Issue 42***

12 **Issue #42: Is Bright House entitled to open a Verizon NID and remove**
13 **wiring from the customer side?**
14

15 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #42?**

16 A. The situation at issue is this: when a customer chooses to take VoIP service from
17 Bright House's cable affiliate, that VoIP service "appears" in the customer's
18 premises in the coaxial cable that would also deliver video, Internet service, etc.
19 A connection is made between that coaxial cable and the preexisting
20 (unregulated) premises telephone wire at that location. That makes the VoIP
21 service "live" on that premises wire. However, unless it is disconnected, that
22 premises wire is *also* connected to Verizon's network, by means of the "Network
23 Interface Device," or NID, typically a small gray box on the side of a home.

1 **Q. IS IT NECESSARY TO DISCONNECT THE VERIZON NETWORK**
2 **WHEN BRIGHT HOUSE IS PROVIDING SERVICE?**

3 A. Yes. As a matter of good engineering practice, it is necessary to disconnect the
4 premises wire from the NID so that there can be no electrical interference or other
5 problems with having two different voice services connected simultaneously to
6 the same premises wire. The way to do this is to open up the NID and, depending
7 on the configuration of the NID itself, either unplug a standard jack that connects
8 the premises wire to Verizon's network or, in some cases, to unscrew two screws
9 per phone line, on the customer's side of the NID. The NID would then be
10 closed.

11 **Q. SINCE THE BRIGHT HOUSE TECHNICIAN WOULD BE**
12 **DISCONNECTING THE VERIZON NETWORK AT THE CUSTOMER**
13 **SIDE OF THE NID, IS THERE ANY PROBLEM WITH THIS**
14 **APPROACH?**

15 A. No. There is no need for any authorization from Verizon or anyone else to
16 perform these functions. The customer already has access to the portions of the
17 NID that can be reached simply by opening up the NID. The customer, therefore,
18 can (and does) authorize Bright House's cable affiliate to perform these functions
19 as part of the installation of service (or performs them him- or herself).
20 Moreover, no part of Verizon's network per se is being used or affected by these
21 actions; they are simply necessary to disconnect deregulated inside wire from the
22 NID.

1 The purpose of Bright House's language on this point is simply to clarify that
2 Bright House or its affiliate may perform these functions without charge. This
3 language will, therefore, eliminate any possibility of dispute on this topic. Bright
4 House's language is as follows:

5 9.8 Due to the wide variety of NIDs utilized by Verizon (based on
6 Customer size and environmental considerations), Bright House
7 may access the Customer's Inside Wiring, acting as the agent of
8 the Customer by any of the following means:
9

10 9.8.1 Where an adequate length of Inside Wiring is present and
11 environmental conditions permit, Bright House **or, at Bright**
12 **House's direction and on its behalf, a Bright House affiliate**
13 **providing facilities used to provide Bright House End Users**
14 **with interconnected VoIP services (for purposes of this Section**
15 **9 of this Attachment, "Bright House") may, without contacting**
16 **Verizon and without charge** remove the Inside Wiring from the
17 Customer's side of the Verizon NID and connect that Inside
18 Wiring to Bright House's NID.
19

20 9.8.2 Where an adequate length of Inside Wiring is not present or
21 environmental conditions do not permit, Bright House may,
22 **without contacting Verizon and without charge**, enter the
23 Customer side of the Verizon NID enclosure for the purpose of
24 removing the Inside Wiring from the terminals of Verizon's NID
25 and connecting a connectorized or spliced jumper wire from a
26 suitable "punch out" hole of such NID enclosure to the Inside
27 Wiring within the space of the Customer side of the Verizon NID.
28 Such connection shall be electrically insulated and shall not make
29 any contact with the connection points or terminals within the
30 Customer side of the Verizon NID.
31

32 As can be seen, this clarifying language will eliminate the possibility of disputes
33 about this topic.

34 Q. WHAT IS VERIZON'S POSITION ON THIS ISSUE?

1 A. Verizon has not accepted Bright House's proposal, but I do not understand the
2 basis for their disagreement. Perhaps they will agree to this proposal in their
3 testimony. If not, I will address their position on rebuttal.

4 ***Issue 46***

5 **Issue #46: Should Verizon be required to make available to Bright House**
6 **access to house and riser cable that Verizon does not own or**
7 **control but to which it has a legal right of access? If so, under**
8 **what terms?**
9

10 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #46?**

11 A. "House and riser cable" refers to wiring on the premises of a multi-tenant
12 building, such as an apartment building, that is (usually) on the customer's side of
13 the demarcation point (and therefore unregulated), that runs between floors and in
14 walls, to reach individual units in the building. Although this wiring is normally
15 considered deregulated, and under the control of the building owner, many
16 building owners do not feel comfortable managing any but the most basic
17 telephone wiring. As a result, they sometimes enter into contracts with a phone
18 company, such as Verizon, giving the phone company the authority to manage,
19 repair, etc. the deregulated house and riser cable, even though the ownership of
20 the cable remains with the building owner.

21 Verizon's language regarding this topic appears in Section 7.1 and 7.1.1 of the
22 Network Elements Attachment. Verizon states in Section 7.1.1 that it will
23 provide access to house and riser cable "only if Verizon owns, operates, maintains
24 and controls" it. Bright House proposes to amend that language to cover

1 situations in which Verizon “otherwise has the legal right to provide access to
2 control” the house/riser cable. Moreover, as with the situation regarding NIDs, in
3 Section 7.1 Bright House proposes to make clear that its cable affiliate, providing
4 VoIP service, would be able to make use of this cable.

5 **Q. HOW SHOULD THE COMMISSION RESOLVE THIS ISSUE?**

6 A. The Commission should accept Bright House’s proposed changes. Without these
7 changes, Verizon will be encouraged to enter into arrangements with building
8 owners in which the house and riser cable is confirmed as unregulated and the
9 property of the owner, but with Verizon delegated by the owner to manager and
10 maintain the wiring. Because Verizon’s original language only obliges it to
11 provide access to wiring that it “owns,” this would create a situation in which
12 Verizon could interfere with its competitors’ access to customers in apartment
13 buildings, condominiums, and similar structures. This would not serve the public
14 interest.

15 ***Issue 49***

16 **Issue #49: Are special access circuits that Verizon sells to end users at**
17 **retail subject to resale at a discounted rate?**
18

19 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #49?**

20 A. Under FCC rules and the terms of the Act, Verizon is required to allow CLECs to
21 purchase, at wholesale (that is, discounted) rates, any telecommunications service
22 that Verizon sells “at retail.” Broadly speaking, exchange access services are not
23 provided “at retail” because they are used as an input to Telephone Toll service.

1 That is, the toll carrier sells a finished, end-to-end service to its customer, but to
2 do so the toll carrier buys exchange access service at the originating and
3 terminating ends of the call. In this scenario the toll service is a retail service, but
4 the exchange access service is not.

5 Verizon (and other ILECs as well) offers a large number of services out of its
6 “access” tariff that are not involved in the origination or termination of toll
7 service, and that therefore do not constitute “exchange access” service as that
8 term is defined in the statute. It is therefore quite possible that an “access” service
9 (that is, a service that a customer would buy out of Verizon’s “access” tariff) is,
10 nonetheless, a retail service subject to resale, which Verizon must sell to the
11 CLEC at a discounted rate.

12 **Q. IS SPECIAL ACCESS ONE OF THE “ACCESS “ SERVICES THAT IS A**
13 **SERVICE SUBJECT TO RESALE?**

14 A. Yes. One such service is point-to-point data services, or special access services,
15 often provided to banks, insurance companies, and others for transmitting data
16 between locations. These point-to-point data services are also used by businesses
17 to obtain direct connections to a provider of Internet access. These special access
18 services are offered at retail and are not used in support of telephone toll service.
19 Again, these services should be available to CLECs at discounted rates, for resale.
20 Bright House has proposed language to modify Section 2.1.5.2 of the pricing
21 attachment to clarify this situation. That section identifies services not subject to
22 the wholesale discount as including:

1 Except as otherwise provided by Applicable Law, Exchange
2 Access services, it being understood and agreed to by the
3 Parties that the provision of point-to-point “Special Access”
4 services to End Users for purposes of data transmission do not
5 constitute “Exchange Access” services for this purpose.

6 This language would clarify that point-to-point data circuits are, indeed available
7 for resale.

8 Verizon has objected to this proposed change.

9 **Q. WHY IS BRIGHT HOUSE’S PROPOSAL REASONABLE?**

10 A. The FCC’s rules regarding resale are very clear on this point. 47 C.F.R. § 51.605
11 provides:

12 § 51.605 Additional obligations of incumbent local exchange
13 carriers.

14
15 (a) An incumbent LEC shall offer to any requesting
16 telecommunications carrier any telecommunications service that
17 the incumbent LEC offers on a retail basis to subscribers that are
18 not telecommunications carriers for resale at wholesale rates ...

19
20 (b) For purposes of this subpart, exchange access services, as
21 defined in section 3 of the Act, shall not be considered to be
22 telecommunications services that incumbent LECs must make
23 available for resale at wholesale rates to requesting
24 telecommunications carriers.

25 I earlier discussed the definition of “exchange access services” under the Act,
26 noting that “exchange access” refers to the use of local facilities for the
27 origination and termination of telephone toll services. That is precisely the
28 definition being referred to in the rule quoted above. It follows that the exclusion
29 of “exchange access” services from the resale obligation does not apply to
30 services that are (a) sold at retail, and (b) not used for the origination or

1 termination of toll services. Point-to-point data services, even if they are called
2 “special access” services, are not covered by the exclusion, and are therefore
3 subject to resale, and Verizon must provide these services to Bright House, for
4 that purpose, at discounted rates.

5 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
6 **#49?**

7 A. The Commission should adopt Bright House’s proposal.

8 **Q. DOES THIS CONCLUDE YOUR DIRECT TESTIMONY?**

9 A. Yes, it does.

1 **I. INTRODUCTION**

2 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

3 A. My name is Timothy J Gates. My business address is QSI Consulting, 10451
4 Gooseberry Court, Trinity, Florida 34655. I provided direct testimony in this
5 matter on March 26, 2010. My background and qualifications are stated there.

6 **Q. WHAT HAVE YOU BEEN ASKED TO DO IN THIS REBUTTAL**
7 **TESTIMONY?**

8 A. I have been asked to review, and respond to, Verizon's direct testimony, filed by
9 Mr. D'Amico, Mr. Munsell, and Mr. Vasington.

10 **Q. HAVE YOU PROVIDED YOUR RESPONSES TO THEIR TESTIMONY**
11 **BELOW?**

12 A. Yes, I have. At the outset, however, I would note that between the time of the
13 filing of direct testimony and this rebuttal testimony, the parties have continued to
14 discuss open issues and, as I note below, they have settled a large number of
15 them. In addition, the parties have made proposals to each other to resolve certain
16 issues that were not reflected in the direct testimony. As a result, it is at times
17 necessary in this rebuttal testimony to either briefly summarize certain points
18 made in my direct, or to provide some additional analysis and discussion, in order
19 to properly frame the context of, and explain, the issues as they actually exist
20 between the parties with respect to the remaining open issues.

1 **II. ISSUES IN DISPUTE**

2 **A. Recently Settled Issues.**

3 **Q. HAVE THE PARTIES BEEN ABLE TO NARROW THE ISSUES IN**
4 **DISPUTE SINCE THE TIME OF YOUR DIRECT TESTIMONY?**

5 A. Yes. Although the parties have not completely finalized the ICA language for all
6 of these issues, Bright House informs me that the parties have reached either
7 agreement, or agreement in principle, with respect to the following issues:

- 8 • Issue #5 (Verizon access to Bright House poles, conduits, etc.);
- 9 • Issue #6 (negotiation of further terms for services under the ICA);
- 10 • Issue #8 (sale of Verizon territory);
- 11 • Issue #11 (“ordering” a service does not imply that a charge applies)
- 12 • Issue #12 (implementation of rate modifications by the PSC or the FCC);
- 13 • Issue #23(a) (description of Verizon’s obligation to provide directory
14 listings);
- 15 • Issue #26 (Verizon’s obligation to provide fiber meet interconnection);
- 16 • Issue #27 (how far Verizon must build out to establish a fiber meet);
- 17 • Issue #30 (availability of two-way trunks);
- 18 • Issue #31 (administrative control over trunk ordering);
- 19 • Issue #33 (one-time charges for trunk establishment);
- 20 • Issue #34 (application of performance measurements to two-way trunks);
- 21 • Issue #40 (facilitation of direct connection with Verizon affiliates);
- 22 • Issue #42 (Bright House access to NIDs);

- 1 ● Issue #43 (procedures for removing PIC freezes); and
- 2 ● Issue #46 (Bright House access to Verizon-controlled house/riser cable).

3 In light of this substantial progress, I will organize my discussion of the open

4 issues in this rebuttal testimony in a different manner than in my direct.

5 **Q. HOW IS YOUR DISCUSSION OF THE ISSUES ORGANIZED IN THIS**

6 **REBUTTAL TESTIMONY?**

7 A. I divide the remaining open issues into two “tiers.” The first tier includes those

8 issues where adopting one party’s view over the other’s would have a direct and

9 important financial, operational, or legal/contractual impact on the parties. The

10 second tier are those issues where – while Bright House views them as important,

11 and certainly believes that its position rather than Verizon’s is correct – the result

12 is not as immediately critical to the parties’ ongoing interconnection relationship.

13 **B. “Tier 1” Open Issues.**

14 **Q. WHAT ARE THE “TIER 1” ISSUES THAT REMAIN OPEN?**

15 A. There are five or six remaining “Tier 1” issues. I note them below in the order in

16 which I will discuss them in my testimony:

- 17 ● *Issue #41*, relating to the establishment of specific procedures to govern
- 18 the process of transferring a customer between the parties.
- 19 ● *Issue #32*, relating to Verizon’s obligation to accept trunking at the DS-3
- 20 level or above.
- 21 ● *Issue #36*, relating to the terms that apply to “meet point billing”
- 22 situations, *i.e.*, situations where Verizon and Bright House jointly provide

1 originating or terminating access service to third-party long distance
2 carriers;

- 3 • *Issue #24*, relating to Verizon's obligation to charge cost-based,
4 "TELRIC" rates for facilities used to connect Bright House's network to
5 Verizon's when those facilities are used "for the transmission and routing
6 of telephone exchange service and exchange access." (*See* 47 U.S.C. §
7 251(c)(2).)
- 8 • *Issue #37*, relating to the definition of what calls from Bright House to
9 Verizon (and vice versa) are treated as toll calls (subject to access charges)
10 versus local calls (subject to lower reciprocal compensation rates).
- 11 • *Issue #7*, relating to Verizon's asserted right to unilaterally choose to
12 cease performing any contract duty that in its opinion is not literally
13 required by applicable law.

14 In regard to Issue #36 and Issue #24, given the specific network architecture that
15 Bright House has established to interconnect with Verizon, these two issues are
16 very closely related, and will be discussed together. As a result, it is fair to say
17 that there are now only five key "Tier 1" issues that remain unresolved.

18 **Q. WHAT ARE THE REMAINING "TIER 2" ISSUES?**

19 A. There are about a dozen of these "Tier 2" issues: Issue #1 (role of tariffs in the
20 ICA); Issue #2 (definitive prices); Issue #3 (treatment of traffic not specifically
21 identified in the ICA); Issue #4(a) (treatment of the terms "customer" and "end
22 user"); Issue #13 (time limits on back-billing, and raising billing disputes); Issue
23 #16 (terms regarding assurance of payment); Issue #20 (parties' obligations to

1 reconcile their network architectures); Issue #22 (terms regarding use of
2 Verizon's OSS); Issue #28 (types of traffic that may be sent via a fiber meet
3 arrangement); Issue #29 (establishing separate trunk groups for different traffic
4 types); Issues #38 and #39 (relating to transit traffic); Issue #44 (unlocking 911
5 records); Issue #45 (inclusion of collocation terms in the ICA); and Issue #49
6 (resale of special access circuits sold at retail).

7 I should note that the parties continue to discuss potential settlement of all of
8 these issues – both Tier 1 and Tier 2. While reaching settlement on the Tier 1
9 issues may prove challenging, Bright House indicates that it is very likely that
10 additional settlements regarding many of the remaining Tier 2 issues will occur. I
11 would also note that according to the procedural schedule established by the
12 Commission, the parties must file “position statements” on all open issues by
13 Monday, May 3, 2010. Bright House has informed me that they are hopeful that
14 there will be additional settlements to report at that time.

1 ***Issue 41 (Customer Transfer Procedures)***

2
3 **Issue #41: Should the ICA contain specific procedures to govern the**
4 **process of transferring a customer between the parties and the**
5 **process of LNP provisioning? If so, what should those**
6 **procedures be?**

7 **Q. WHAT IS THE STATUS OF THE DISPUTE UNDERLYING ISSUE #41?**

8 A. Bright House and Verizon operate separate but interconnected networks. As a
9 result, when one of them wins a customer from the other, that customer's service
10 has to be transferred from the losing carrier to the winning carrier. This process
11 involves a number of different steps that need to happen during a relatively short,
12 but competitively sensitive, time frame. In that process there are a number of
13 different ways that the customer's telephone service can be disrupted if things do
14 not go smoothly. It is therefore critically important that the parties' ICA lay out
15 specifically how this customer transfer process will occur. Bright House has
16 proposed to include these procedures as a separate and easily referenced
17 attachment to the ICA. Verizon opposes including this attachment at all, and, in
18 addition, takes issue with a number of the specific provisions Bright House has
19 proposed.¹

20 **Q. BROADLY SPEAKING, DO YOU SEE ANY BASIS FOR VERIZON'S**
21 **OBJECTION TO INCLUDING A SPECIFIC ATTACHMENT DEALING**
22 **WITH CUSTOMER TRANSFER PROCEDURES?**

¹ See the Direct Testimony of Mr. Munsell on behalf of Verizon at pages 42-52.

1 A. No, I do not. I discuss Verizon's individual objections below, and I believe that
2 the Commission should reject Verizon's assertions and adopt the specific
3 proposals Bright House has made. But, no matter how the Commission rules on
4 the various specific items to which Verizon objects, I believe it would be a
5 substantial improvement for the ICA to contain, in a single, concise attachment, a
6 statement of the procedures that the parties will follow when a customer is
7 transferred from one to the other. As I noted in my direct testimony, Verizon and
8 Bright House are engaged in direct, head-to-head, facilities-based competition.
9 This is extremely beneficial to telephone consumers in the Tampa area. But
10 because Bright House has its own network and does not (aside from traffic
11 exchange) rely on Verizon to provide its own services, Verizon's key opportunity
12 to interfere with competition is during the critical period when a customer is being
13 transferred from Verizon over to Bright House. Ultimately, problems with the
14 customer transfer process disrupt the competitive process and harm consumers.

15 **Q. ARE YOU AWARE OF PROBLEMS WITH TRANSFERRING**
16 **CUSTOMERS BETWEEN BRIGHT HOUSE AND VERIZON?**

17 A. Yes. Some years ago, Verizon imposed unreasonable delays in porting to Bright
18 House the telephone numbers of customers who purchased unrelated "digital
19 subscriber line," or DSL, services from Verizon. Later, Verizon interpreted the
20 current ICA to supposedly permit it to charge Bright House millions of dollars to
21 establish directory listings for Bright House's end users, even though the ICA
22 says those listings would be established at "no charge." Still later, Verizon started
23 using confidential information from Bright House about which specific customers

1 would be leaving Verizon on which days to engage in illegal “retention
2 marketing” to try to hold on to those customers.² In light of this history of
3 substantial disputes surrounding the customer transfer process, it is both
4 reasonable and prudent to include a specific section of the new ICA that lays out
5 customer transfer procedures.

6 So, again, while Bright House’s specific proposals are reasonable and should be
7 adopted, no matter how the Commission rules on the specific disputed provisions,
8 it is very important that the Commission accept Bright House’s basic proposal to
9 have a separate section of the ICA that lays out what procedures apply to
10 customer transfers.

11 **Q. WHICH VERIZON WITNESS DEALS WITH ISSUE #41 IN HIS DIRECT**
12 **TESTIMONY?**

13 A. Verizon witness William Munsell states Verizon’s position with respect to Issue
14 #41, at pages 42-52 of his direct testimony. I respond below to Mr. Munsell’s
15 claims.

16 **Q. AT PAGES 44-45 OF HIS TESTIMONY, MR. MUNSELL OBJECTS TO**
17 **BRIGHT HOUSE’S PROPOSED LANGUAGE ENSURING THAT**
18 **VERIZON WILL PROMPTLY PORT TELEPHONE NUMBERS EVEN IF**
19 **THE CUSTOMER MOVING FROM VERIZON TO BRIGHT HOUSE HAS**
20 **DSL SERVICE OR SIMILAR SERVICE ON THE CUSTOMER’S LINE.**
21 **IS THERE ANY BASIS FOR MR. MUNSELL’S OBJECTIONS?**

² See, Gates Direct at 46-48 and 143-144.

1 A. No. To explain why, I will first briefly explain what “local number portability”
2 is, then explain why past disputes with Verizon and other incumbent carriers
3 show that Bright House’s language is necessary.

4 **Q. WHAT IS LOCAL NUMBER PORTABILITY?**

5 A. Very briefly, when Congress mandated local telephone competition in the 1996
6 Act, it realized that customers would be very reluctant to switch from one carrier
7 to another unless they could keep their same phone numbers even though they
8 were changing carriers. Congress, therefore, required local carriers to provide
9 “local number portability” in accordance with regulations to be established by the
10 FCC. 47 U.S.C. §251(b)(2). Based on input from the industry, the FCC required
11 the establishment of a system where a carrier bringing in a call to a particular
12 customer will automatically check with a database of local telephone numbers to
13 find out whether the customer is still served by his original carrier, or whether,
14 instead, the customer has moved to a new carrier and “ported” his number to that
15 new carrier. By now, this is a highly automated process: the FCC recently
16 adopted rules that require ports to be processed by the “losing” carrier within one
17 business day of receiving the porting request from the “winning” carrier.³

18 **Q. WHAT IS A “SIMPLE” PORT AS OPPOSED TO A “COMPLEX” PORT?**

19 A. A “simple” port is the most common type of porting activity. A simple port is
20 usually the transfer of one or two numbers with no special circumstances
21 associated with the porting process. A complex port is one that includes multiple

³ See 47 C.F.R. § 52.35(a).

1 numbers (perhaps ten or more) or unique provisioning requirements that might
2 result in the need for coordination between the providers

3 **Q. WHY DOES BRIGHT HOUSE PROPOSE TO INCLUDE LANGUAGE**
4 **THAT SPECIFICALLY STATES THAT THE PRESENCE OF DSL OR**
5 **SIMILAR SERVICE ON A LINE DOES NOT JUSTIFY TREATING THE**
6 **PORT AS “COMPLEX” RATHER THAN “SIMPLE”?**

7 A. DSL service is a means of providing high-speed data service, typically for high-
8 speed Internet access, on a traditional copper telephone line. DSL service,
9 therefore, is part of a traditional telephone company’s way of competing with
10 cable-system delivered services, which nowadays typically include not only
11 traditional video service and VoIP service, but also high-speed Internet access.
12 Several years ago, Verizon and other incumbent carriers took the position that if a
13 cable-based competitor won a customer who had DSL service on his or her phone
14 line, Verizon would not simply port the customer’s telephone number. Instead –
15 to the annoyance of the customers – Verizon said that DSL on the line created a
16 “complex” port, permitting Verizon to delay transferring the customer for days or
17 even weeks.

18 **Q, DID BRIGHT HOUSE FILE A COMPLAINT AGAINST VERIZON ON**
19 **THIS ISSUE WITH THE FLORIDA COMMISSION?**

1 A. Yes. Bright House filed a complaint against Verizon with this Commission.⁴ In
2 addition, the matter was presented to the FCC, by Bright House and others, in a
3 proceeding involving BellSouth (now AT&T). Ultimately, the FCC ruled that
4 ILEC delays in porting based on the presence of “non-porting related
5 complications or requirements such as the presence of DSL service” were not
6 consistent with the LNP guidelines. Specifically, the FCC stated:

7 *Number Portability.* Comcast Phone, Time Warner, and Bright House
8 Networks raise arguments that incumbent LECs have unlawful internal
9 policies of delaying number porting requests when competing voice
10 service providers win a voice customer that also subscribes to DSL.
11 Specifically, Comcast Phone and Time Warner assert that incumbent
12 LECs refuse to port the telephone number for the voice line until the
13 customer cancels its DSL service. We take this opportunity to remind
14 carriers that the Act requires, and we intend to enforce, non-
15 discriminatory number porting between LECs, including our previous
16 conclusion “that carriers may not impose non-porting related restrictions
17 on the porting out process.” Because of these requirements, when an
18 incumbent LEC receives a request for number portability, it is required
19 to observe the same rules, including provisioning intervals, as any other
20 LEC and *cannot avoid its obligations by pleading non-porting related*
21 *complications or requirements such as the presence of DSL service on*
22 *a customer’s line.* We also retain the authority to evaluate specific
23 objections to incumbent LEC’s porting policies in proceedings seeking
24 enforcement action.⁵

25
26 **Q. DOES THIS FCC LANGUAGE SUPPORT BRIGHT HOUSE’S**
27 **PROPOSED LANGUAGE TO WHICH MR. MUNSELL OBJECTS?**

⁴Florida Public Service Commission Docket No. 041170-TP (complaint filed Sept. 30, 2004).

⁵ In the Matter of BellSouth Telecommunications, Inc. Request for Declaratory Ruling that State Commissions May Not Regulate Broadband Internet Access Services by Requiring BellSouth to Provide Wholesale or Retail Broadband Services to Competitive LEC UNE Voice Customers, Memorandum Opinion And Order And Notice Of Inquiry, 20 FCC Rcd 6830 (2005) at ¶ 36 (footnotes omitted, emphasis added).

1 A. Yes, it does. First, Verizon's initial language, which Mr. Munsell defends, states
2 only that Verizon will follow local number portability requirements
3 "recommended by" certain industry groups "and adopted by the FCC." While
4 that is good as far as it goes, it does not appear to address the situation noted
5 above, where the FCC issued a specific ruling about specific ILEC practices in
6 response to complaints from cable-affiliated voice competitors, as opposed to as a
7 result of recommendations by industry groups.⁶ Second, in the quoted ruling, the
8 FCC emphasized that ILECs cannot avoid number portability obligations based
9 on *any* "non-porting related complications ... *such as* the presence of DSL
10 service on the customer's line." Bright House's proposed language reasonably
11 reflects this FCC ruling by stating that simple ports are not converted into
12 complex ports by virtue of the presence of "DSL or similar service" on a customer
13 line. In sum, Mr. Munsell's objection to Bright House's proposed language is, in
14 light of this specific FCC ruling, entirely unfounded.

15 **Q. AT PAGES 45-48 OF HIS TESTIMONY, MR. MUNSELL ALSO OBJECTS**
16 **TO BRIGHT HOUSE'S PROPOSED REQUIREMENT THAT LNP-**
17 **RELATED FUNCTIONS BE PROVIDED BY THE PARTIES TO EACH**
18 **OTHER AT NO CHARGE, INCLUDING COORDINATION BETWEEN**

⁶ Mr. Munsell specifically objects to Verizon being asked to agree to anything "different than what is spelled out in FCC *rules* (or [industry group] guidelines)." Munsell Direct at page 45, lines 2-3 (emphasis added). As Mr. Munsell is surely aware, however, the FCC's practice is not to codify all of its rulings into its formal "rules." Instead, while carriers are certainly bound by the FCC's formally codified rules, carriers must also abide by the pronouncements and rulings of the FCC, such as that quoted above, that do not get formally codified. I cannot say whether Mr. Munsell's testimony was consciously intended to try to permit Verizon to avoid complying with FCC rulings regarding number portability that have not been formally codified, but that does seem to be the effect of his recommendation – and it should be rejected for that reason, among others.

1 **THE PARTIES WHERE A SINGLE CUSTOMER HAS A LARGE**
2 **NUMBER OF LINES TO BE PORTED. ARE MR. MUNSELL'S**
3 **OBJECTIONS WELL-FOUNDED?**

4 A. No, they are not. With regard to cost, the FCC established specific rules for the
5 recovery by LECs of the costs they incur in providing number portability.⁷ Those
6 rules do not permit one LEC to charge another LEC for performing number
7 portability functions, except under limited circumstances that do not apply to
8 facilities-based providers like Bright House. Bright House's proposal makes that
9 prohibition clear in the language of the ICA.

10 In several orders implementing Section 251(e)(2), the FCC held that carriers are
11 required to recover their costs of implementing LNP through federally tariffed
12 end-user charges.⁸ In these orders the FCC determined that ILECs may recover
13 through *end-user charges* their carrier-specific costs directly related to providing
14 number portability. The FCC concluded that this framework for cost recovery
15 (from end users rather than other carriers) best serves the statutory goal of
16 competitive neutrality.⁹

17 **Q. HAVE THOSE RULINGS BEEN CODIFIED INTO THE FCC'S RULES?**

18 A. Yes, upon implementation of the *Cost Recovery Order* the FCC promulgated its

⁷ See 47 C.F.R. §§ 52.32 & 52.33.

⁸ The FCC's rulings were set forth in several orders: *Telephone Number Portability*, Third Report and Order (the "*Cost Recovery Order*"), 13 FCC Rcd 11701 (1998), *aff'd*, *Telephone Number Portability*, Memorandum Opinion and Order on Reconsideration and Order on Application for Review (the "*Cost Recovery Reconsideration Order*"), 17 FCC Rcd 2578 (2002); and *Telephone Number Portability Cost Classification Proceeding*, Memorandum Opinion and Order, 13 FCC Rcd 24495 (CCB 1998).

⁹ See, 47 U.S.C. § 251(e)(2).

1 current rule, codified at 47 C.F.R. § 52.33, entitled “Recovery of carrier specific
2 costs directly related to providing long-term number portability.”

3 **Q. WHAT DOES THAT RULE PROVIDE?**

4 A. The rule states that ILECs may recover their carrier-specific costs directly related
5 to providing long-term number portability by establishing charges in tariffs filed
6 with the FCC. Those tariffed charges were to be in place and assessed to end
7 users over a five (5) year term beginning in February of 1999.¹⁰ In other words,
8 to recover their costs associated with number porting, ILECs were allowed to
9 assess charges on their end users.

10 **Q. DOES THE RULE PERMIT ILECS TO ASSESS ANY CHARGES UPON**
11 **OTHER CARRIERS?**

12 A. Yes. Rule 52.33(a)(1)(ii) allows ILECs to assess charges on carriers that purchase
13 switching ports as UNEs, or resell the ILECs’ local exchange services, “as if the
14 incumbent local exchange carrier were serving those carriers’ end users.” In
15 addition, the number portability “query service” charge described in 47 C.F.R. §
16 52.33(a)(2) may also be assessed against carriers.

17 **Q. DOES BRIGHT HOUSE PURCHASE SWITCHING PORTS FROM**
18 **VERIZON?**

19 A. No. Bright House is a facilities-based provider with its own switching and other
20 network facilities. It therefore does not need to purchase switching ports from
21 other providers, including Verizon.

¹⁰ See 47 C.F.R. § 52.33(a)(1)(i) & (a)(iv).

1 **Q. DOES BRIGHT HOUSE RESELL VERIZON LOCAL SERVICES?**

2 A. No. Again, because Bright House is a facilities-based provider with its own
3 network facilities, it does not need to resell local services.

4 **Q. AT PAGES 45-46 OF HIS DIRECT, MR. MUNSELL ARGUES THAT**
5 **“COORDINATION” IS NOT A PART OF LNP AND THAT VERIZON**
6 **SHOULD BE ALLOWED TO CHARGE FOR THAT ACTIVITY. HOW**
7 **DO YOU RESPOND?**

8 A. Coordination is not required for most ports, but where it is required, it is a
9 necessary LNP activity and intercarrier charges are not allowed. It is indisputable
10 that the coordination efforts that both parties engage in for complex ports is
11 directly related to local number portability.

12 **Q. YOU SEEM TO SUGGEST THAT COORDINATION IS NOT ALWAYS**
13 **REQUIRED. IS THAT CORRECT?**

14 A. Yes. Most residential customers have one or at most a few active telephone
15 numbers that need to be ported when the customer switches from one carrier to
16 another, and no special procedures or processes are needed to handle such ports.
17 On the other hand, many medium- and large-sized business customers have many
18 active telephone numbers. At some point, it is not prudent to simply assume that
19 the normal automated processes will properly capture the dozens or, in some
20 cases, hundreds of lines serving a single large customer. Instead, in those limited
21 circumstances it is prudent to have some actual human involvement to ensure that
22 on the day the service is being cut over from one carrier to the other, all of the

1 numbers are properly ported, and that any problems or concerns can be dealt with
2 immediately. Otherwise, the customer's actual telephone service may well be
3 affected, which should never occur during a switch from one carrier to another.
4 To the contrary, for competition to work effectively for the benefit of consumers,
5 number porting and other carrier-to-carrier processes involved in transferring
6 service should be transparent to the customer and entirely "behind the scenes."
7 Bright House's coordination language – requiring coordination for customers with
8 12 or more lines – is designed to achieve that goal.

9 **Q. WHAT ABOUT BRIGHT HOUSE'S PROPOSAL THAT**
10 **COORDINATION SHOULD BE PROVIDED AT NO CHARGE? WHY IS**
11 **THAT APPROPRIATE?**

12 A. The requirement that coordination of number porting be provided at no charge is
13 appropriate for three reasons. First, as noted above, the FCC has established rules
14 for the recovery of number portability costs that contain no exception of which I
15 am aware for coordination. Instead, Verizon can't charge Bright House when
16 Verizon ports a number to Bright House, and Bright House can't charge Verizon
17 to port a number to Verizon. And this same logic is the second reason that Bright
18 House's proposal is appropriate: it goes both ways. When Bright House loses a
19 multi-line customer (12 or more numbers) to Verizon, Bright House will be
20 required to coordinate with Verizon, just as Verizon will be required to coordinate
21 with Bright House when Verizon is the losing carrier. Third, from an economic
22 perspective it makes no sense to permit charges for coordination. The effect of
23 such charges would be, in effect, a penalty on the carrier for winning a

1 sufficiently large business customer from the other carrier. This is specifically
2 why the FCC found that its LNP cost recovery rules are consistent with the
3 competitive neutrality goals of the Act.

4 **Q. HAS THE FCC COMMENTED ON IMPOSING LNP CHARGES ON**
5 **COMPETITORS IN AN INTERCONNECTION ARRANGEMENT?**

6 A. Yes. The FCC has made it clear that recovery of costs through other carriers
7 would *not* be consistent with the principles of competitive neutrality. For
8 example, the FCC explained that if the Commission did not use a competitive
9 neutrality standard, or only used that standard for the distribution (but not
10 recovery) of costs, then “carriers could effectively undo this competitively neutral
11 distribution by recovering from other carriers.”¹¹ That is why the FCC reaffirmed
12 this finding in its 2002 Reconsideration Order, when it ruled that carriers “may
13 not recover number portability costs from other carriers through interconnection
14 charges.”¹²

15 Competition is enhanced, and customers benefit, when the process of transferring
16 customers between carriers is low-cost and efficient. The Commission, therefore,
17 should be highly suspicious of any effort by a carrier to impose fees and costs on
18 other carriers with respect to anything having to do with transferring customers
19 from one to the other.

¹¹ *Cost Recovery Order*, at ¶ 39.

¹² *Cost Recovery Reconsideration Order* at ¶ 7.

1 **Q. PLEASE COMMENT ON MR. MUNSELL’S DISCUSSION OF**
2 **“EXPEDITED” TREATMENT OF PORTING, AT PAGES 46-47 OF HIS**
3 **TESTIMONY.**

4 A. It appears that Mr. Munsell does not understand Bright House’s proposal.
5 Nowhere in Bright House’s proposed contract language is there any suggestion
6 that Bright House is trying to obtain “expedited” porting of multi-number
7 business accounts under its proposed contract language, either at all or for free.
8 Bright House understands and agrees that if it wants Verizon to “expedite” a
9 porting request, it may be subject to additional fees. Bright House’s proposed
10 language simply requires that when a single customer with a large number of
11 lines/phone numbers is being transferred, that the parties coordinate that activity
12 within the normal schedule for accomplishing the multi-line port.

13 .
14 **Q. PLEASE COMMENT ON MR. MUNSELL’S OBSERVATION, AT PAGES**
15 **47-48 OF HIS TESTIMONY, THAT BRIGHT HOUSE’S PROPOSED**
16 **LANGUAGE IN SECTION 15.2 OF THE INTERCONNECTION**
17 **ATTACHMENT, REGARDING PORTING RESERVED TELEPHONE**
18 **NUMBERS, IS UNNECESSARY IN LIGHT OF THE LANGUAGE IN**
19 **SECTION 15.2.3 ADDRESSING THAT ISSUE?**

20 A. Mr. Munsell is correct. As a result, Bright House has told me that it will
21 withdraw its proposed language in Section 15.2 dealing with that topic.

1 **Q. AT PAGES 48-50 OF HIS TESTIMONY, MR. MUNSELL OBJECTS TO**
2 **BRIGHT HOUSE’S PROPOSAL THAT THE “10-DIGIT TRIGGER”**
3 **REMAIN IN PLACE FOR 10 DAYS FOLLOWING A SCHEDULED**
4 **PORT. ARE HIS OBJECTIONS VALID?**

5 A. No. As I explained in my direct testimony at pages 144-145, while most customer
6 transfers proceed as scheduled, in some cases the cutover has to be delayed
7 because, for example, the customer is not present at his residence to allow the new
8 service to be installed. In that situation the installation has to be rescheduled, and
9 as a practical matter it will rarely take place the very next day. If Verizon goes
10 ahead and treats the number as ported, and does not keep the 10-digit trigger in
11 place, the customer’s service may well be impaired in the interim. Keeping the
12 10-digit trigger in place for a more extended period, as Bright House has
13 suggested, will avoid those customer problems. This is an example of the
14 situation I alluded to earlier, in which an incumbent carrier in particular will have
15 an incentive to make the process of transferring a telephone customer to a
16 competitor more cumbersome, inconvenient, or expensive than it needs to be.

17 **Q. DOES MR. MUNSELL’S TESTIMONY SUPPORT BRIGHT HOUSE’S**
18 **POSITION ON THE TRIGGER?**

19 A. Yes. Mr. Munsell’s testimony (at page 48, lines 16-23) does a good job of
20 explaining why, in general, the 10-digit trigger is needed to ensure that the
21 departing customer will continue to properly receive calls. However, he ignores
22 the point made above, and in my direct testimony, that the need for the 10-digit

1 trigger will extend for some number of days beyond the original date for
2 transferring the customer in many cases.

3 **Q. MR. MUNSELL CLAIMS (MUNSELL DIRECT AT PAGE 49, LINES 15-**
4 **24) THAT VERIZON SHOULD BE ABLE TO AVOID BRIGHT HOUSE'S**
5 **PROPOSED EXTENDED 10-DIGIT TRIGGER BECAUSE BRIGHT**
6 **HOUSE'S PROPOSAL GOES BEYOND CURRENT INDUSTRY**
7 **PRACTICES AND WOULD BE "UNIQUE TO BRIGHT HOUSE." ARE**
8 **THESE CLAIMS VALID?**

9 A. No. It may well be that the industry has not generally agreed on how to handle
10 the problem of rescheduling customer transfers – even though we have many
11 years of experience with the task -- but that is no reason for the Commission to
12 ignore the problem here in Florida. As I mentioned in my direct testimony, the
13 1996 Act very clearly empowers the Commission to establish pro-competitive,
14 pro-consumer requirements relating to interconnection and customer service that
15 go beyond whatever minimum obligations may be established by federal law. *See*
16 47 U.S.C. §§ 251(d)(3), 252(e)(3), 261(b), & 261(c). Indeed, Mr. Munsell
17 himself at least implicitly recognizes that states have the power to impose
18 requirements beyond those imposed by federal law when (in connection with
19 Issue #5) he points to Florida law – not federal law – that requires CLECs to make
20 their poles and conduits available to ILECs under certain conditions.¹³ In light of
21 that Florida law, the parties have settled Issue #5. It is odd that Mr. Munsell does
22 not recognize the Commission's authority to establish requirements beyond the

¹³ *See* Munsell Direct at 6-7.

1 federal or industry minimum standards in the number porting context (or other
2 contexts).

3 With regard to the claim that Bright House is looking for some “unique” or
4 special arrangement, Mr. Munsell is simply wrong. Bright House is seeking
5 terms and conditions in its new ICA with Verizon that are just and reasonable. As
6 Mr. Munsell is undoubtedly aware, under Section 252(i) of the Act, once the new
7 ICA is established and approved, any other carrier may “opt into” or “adopt” the
8 ICA for its own use.¹⁴ This requirement literally guarantees that *no* provision in
9 *any* approved ICA constitutes any sort of “unique” or “special” deal for any
10 particular competing carrier. To the contrary, precisely because any ICA is
11 available for adoption by other carriers no discriminatory “unique” or “special”
12 treatment is even possible.

13 This claim, therefore, is completely wrong. The only question really before the
14 Commission – on this or any other issue – is whether Bright House’s specific
15 proposal is just and reasonable, considering the circumstances – including the
16 need to encourage competition, and protect consumers, by making the customer
17 transfer process easy and efficient. For the reasons described above and in my
18 direct testimony, Bright House’s proposal regarding an extended 10-digit trigger
19 meets that standard, and should be adopted.

¹⁴ Indeed, Verizon witness Vasington flatly states that “Verizon is required to make available all of its section 251(c) agreements for adoption by other carriers.” Vasington Direct at page 14, lines 6-8.

1 **Q. MR. MUNSELL ALSO OBJECTS (MUNSELL DIRECT AT 50) TO**
2 **BRIGHT HOUSE’S PROPOSAL BECAUSE IT WOULD ENTAIL A**
3 **CHANGE IN VERIZON’S CURRENT PROCESSES AND SYSTEMS. IS**
4 **THAT A VALID REASON FOR FAILING TO ACCEPT BRIGHT**
5 **HOUSE’S PROPOSAL?**

6 A. No, not at all. Consider what Mr. Munsell is suggesting: if we take his claim
7 seriously, it would mean that no matter how inefficient, technically inadequate, or
8 damaging to consumers and competition Verizon’s current processes and systems
9 might be, this Commission is completely powerless to establish ICA obligations
10 on Verizon that require Verizon to correct those problems. This notion is
11 completely without legal or regulatory foundation, is not in the public interest,
12 and the Commission should reject it.

13 **Q. ON WHAT DO YOU BASE YOUR CONCLUSION THAT THE**
14 **COMMISSION HAS THE AUTHORITY TO IMPOSE OBLIGATIONS ON**
15 **VERIZON THAT WOULD INVOLVE VERIZON CHANGING ITS**
16 **SYSTEMS AND PROCESSES?**

17 A. This is the only reasonable conclusion to draw from any number of provisions in
18 the Act. First, Section 251(c) requires the terms and conditions associated with
19 interconnection, access to unbundled network elements, etc., to be “just” and
20 “reasonable.” Nothing in that language suggests that if, in the circumstances,
21 “just” and “reasonable” terms require the ILEC to change its present operations, a
22 state commission is powerless to require those changes.

1 Second, Section 251(d)(3) states that nothing in Section 251 can be construed to
2 prevent a state regulator from imposing additional obligations relating to
3 interconnection as long as those additional obligations are not inconsistent with
4 the obligations already present in Section 251.

5 Third, Section 252(e)(3) states that, in establishing an ICA in an arbitration
6 proceeding such as this one, a state regulator like this Commission is not barred
7 from “establishing and enforcing other requirements of state law ... including
8 compliance with intrastate telecommunications service quality standards or
9 requirements.”

10 Fourth, Section 261(b) states that Sections 251-261 of the 1996 Act shall not be
11 construed to “prohibit any state commission ... from prescribing regulations after
12 [passage of the Act] in fulfilling the requirements of” Sections 251-261 of the
13 Act.

14 Fifth, Section 261(c) states that nothing in sections 251-261 of the Act “precludes
15 a state from imposing requirements on a telecommunications carrier for intrastate
16 services that are necessary to further competition in the provision of telephone
17 exchange service or exchange access,” as long as the requirements are not
18 inconsistent with those provisions, or FCC regulations implementing them.

19 Although I am not a lawyer, in my view, the claim that a state commission cannot
20 require an ILEC to modify or improve its operations in the course of establishing
21 an ICA is extremely pernicious and anticompetitive, and the Commission should
22 totally reject it.

1 **Q. WHY IS VERIZON’S CLAIM ABOUT THE LIMITS OF THE**
2 **COMMISSION’S AUTHORITY PERNICIOUS AND**
3 **ANTICOMPETITIVE?**

4 A. If Verizon’s view were adopted, it would mean that the ILEC itself could slow
5 down the *pace of competition by the simple expedient of never taking steps to*
6 upgrade its network, its systems, or its processes in ways that are necessary in
7 order for competition to flourish and in order for consumers to benefit. Here we
8 see this problem with Verizon claiming that even if consumers would benefit
9 from keeping the 10-digit trigger in place for longer than the one day period
10 Verizon has established, there is nothing the Commission can do to correct that
11 problem. As noted in my direct testimony, and below, we see the same problem
12 with Verizon insisting on maintaining obsolete and inefficient DS-1 level
13 interconnection ports on its switches, and then charging CLECs like Bright House
14 for the “service” of down-grading higher speed, more efficient DS-3 or OC-3 (or
15 higher) connections to the old DS-1 level. Verizon wants to stay in the driver’s
16 seat regarding the pace of competition any way it can. But the 1996 Act, as
17 indicated by the provisions noted above, puts this Commission in charge of
18 ensuring the growth and development of local telephone competition in Florida, in
19 order to benefit Florida’s telephone consumers. The Commission needs to
20 expressly reject Verizon’s effort to deprive this Commission of its appropriate
21 authority.

22 **Q. MR. MUNSELL CLAIMS (MUNSELL DIRECT AT 51 & NOTE 9) THAT**
23 **BRIGHT HOUSE’S PROPOSED CUSTOMER TRANSFER**

1 **PROCEDURES INAPPROPRIATELY SEEK TO REOPEN ISSUES THE**
2 **COMMISSION HAS ALREADY DECIDED, SUCH AS THE PROBLEM**
3 **OF VERIZON FAILING TO PROPERLY GROUND THE**
4 **ELECTRICALLY “LIVE” CABLE PLANT USED TO PROVIDE VOIP**
5 **SERVICES WHEN VERIZON DISCONNECTS THAT PLANT TO SERVE**
6 **A CUSTOMER. IS THAT CLAIM ACCURATE?**

7 A. No. It is true that the Commission ruled last year that it lacks stand-alone
8 jurisdiction over the dangerous and inappropriate procedures that Verizon uses
9 when it cuts a customer’s cable drop as part of transferring a customer from
10 Bright House to Verizon. But that decision was not made in the context of an
11 interconnection arbitration between Verizon and Bright House. I will leave the
12 legalities to the lawyers, but on a simple, practical level, what the parties
13 physically do in the process of transferring one customer to another is simply one
14 aspect of the terms and conditions that apply to interconnecting their networks
15 and exchanging traffic. As a result, the Commission’s authority, based on the
16 statutory provisions noted above, to impose pro-competitive, pro-consumer
17 obligations on carriers – including Verizon – in the course of establishing an ICA
18 seem clearly to empower the Commission to include responsible grounding
19 procedures within the new ICA here, whether or not the Commission considers
20 itself to have such authority on a stand-alone basis.

21 **Q. IN SUM, WHAT SHOULD THE COMMISSION DO WITH RESPECT TO**
22 **ISSUE #41?**

1 A. First, no matter how the Commission rules on the individual terms to which
2 Verizon has objected, it is very important that the new ICA contain a specific
3 attachment, along the lines proposed by Bright House, that lays out the procedures
4 the parties will follow when transferring a customer. Having those procedures
5 clearly and simply laid out can only help minimize disputes and benefit
6 consumers by making the transfer process more efficient. I would note in this
7 regard that an important part of Bright House's proposal, to which Verizon does
8 not seem to specifically object, is the requirement that the parties negotiate
9 regarding any problems or situations that arise regarding customer transfers, with
10 the Commission available to resolve any disputes the parties cannot work out for
11 themselves.

12 Second, without rehashing the details I have discussed above, with the exception
13 of Mr. Munsell's objection to Bright House's proposed language regarding the
14 porting of "reserved" numbers – which is well-taken – none of his objections to
15 Bright House's specific proposals has any merit. As a result, the Commission
16 should adopt Bright House's proposed customer transfer procedures, as Bright
17 House has suggested.

18 ***Issue 32 (DS-3 And Higher Level Trunking)***

19
20 **Issue #32: May Bright House require Verizon to accept trunking at DS-3**
21 **level or above?**

22 **Q. WHAT IS STATUS OF THE DISPUTE UNDERLYING ISSUE #32?**

1 A. I explained in my direct testimony that Verizon has apparently chosen to maintain
2 its network with switches using the now ancient (in technology terms) DS-1 level
3 interface, even though any modern network would provide for interconnection at
4 DS-3 or higher levels. And, I explained why, if Verizon persists in maintaining
5 its low-bandwidth, inefficient DS-1 ports on its switches, it may not properly
6 charge Bright House for the “demultiplexing” needed to break down Bright
7 House’s higher-speed signals into the lower-speed DS-1s that Verizon wants (or
8 for “multiplexing” Verizon’s low-speed signals up to DS-3 or higher levels). The
9 need for demultiplexing exists only because Verizon refuses to interconnect at a
10 higher level.

11 Moreover, the discussion above in connection with customer transfer procedures
12 explains why the Commission is fully empowered to require Verizon to upgrade
13 its network to accommodate modern, higher-speed interconnection rates. That is,
14 not only should the Commission ban Verizon from charging Bright House for
15 “extra” services needed to accommodate Bright House’s slow interconnection
16 rates; it can actually require Verizon to improve its network in order to enhance
17 competition and consumer welfare, if doing so is “just” and “reasonable” and
18 otherwise pro-competitive – which it is.

19 **Q. WHICH VERIZON WITNESS ADDRESSES ISSUE #32?**

20 A. Verizon witness Mr. D’Amico addresses this issue at pages 12-13 of his
21 testimony. I note that Mr. D’Amico frankly confesses that “Verizon’s switches
22 typically have lower-capacity, DS1 ports.” So there is no dispute that Verizon’s

1 network is, in this respect, old and inefficient. The only question is what to do
2 about that fact in the context of this ICA arbitration.

3 **Q. WHAT IS MR. D'AMICO'S BASIC POSITION ON THIS ISSUE?**

4 A. On page 12 of his testimony, at lines 19-21, he acknowledges that Bright House
5 can interconnect at higher data transmission rates, but, as noted above, says that if
6 Bright House does so "it must arrange for multiplexing" – that is, pay extra – in
7 order to lower the data rates back to the old DS-1 level.

8 **Q. DOES MR. D'AMICO TRY TO EXPLAIN WHY BRIGHT HOUSE**
9 **SHOULD HAVE TO BEAR THAT EXPENSE?**

10 A. As far as I can tell, at no point does he try to justify imposing that cost of
11 Verizon's inefficiency on Bright House. As I explained in my direct testimony,
12 however, interconnection arrangements are to be priced using the "TELRIC"
13 standard, which sets prices based not on the ILEC's actual existing network
14 configuration – which may well be obsolete and inefficient – but rather on the
15 network arrangements that an efficient ILEC would deploy in the future, over the
16 long run.¹⁵ As the FCC states, the TELRIC cost of an interconnection
17 arrangement:

18 should be measured based on the use of the *most efficient*
19 *telecommunications technology currently available and the*
20 *lowest cost network configuration*, given the existing location of
21 the [ILEC's] wire centers.¹⁶

¹⁵ See Gates Direct at 67-82.

¹⁶ 47 C.F.R. § 51,505(b)(1) (emphasis added).

1 There is no possible grounds for disputing that, for traffic volumes of the sort that
2 Bright House and Verizon routinely exchange (in excess of 30,000,000 minutes of
3 traffic every month of local traffic, without even considering exchange access
4 traffic), the “most efficient telecommunications technology currently available”
5 and the “lowest cost network configuration” is at least DS-3 level interconnection,
6 and probably OC-3 or OC-12 level interconnection. With that type of
7 interconnection, Bright House would never have to pay to step its data rate down
8 to the DS-1 level that Verizon currently uses. In short, the FCC’s rules are
9 completely inconsistent with Mr. D’Amico’s position.

10 **Q. MR. D’AMICO SUGGESTS (PAGE 13, LINES 1-4) THAT THIS IS NOT A**
11 **PROBLEM BECAUSE UNDER VERIZON’S PROPOSED LANGUAGE**
12 **THE PARTIES COULD, BY MUTUAL AGREEMENT, EXCHANGE**
13 **TRAFFIC AT DS-3 OR HIGHER DATA RATES. DO YOU AGREE?**

14 **A.** I certainly agree that the parties should be, and are, free to agree to use higher data
15 rates than DS-1 for purposes of interconnection. But for the reasons described
16 above, I strongly disagree that in the meantime Verizon can shift the costs of its
17 own inefficiency by requiring Bright House to pay for multiplexing and
18 demultiplexing its native higher-data-rate signals. In this regard, as long as
19 Verizon can force Bright House to pay for multiplexing and demultiplexing,
20 Verizon will have scant incentive to actually establish the more efficient, higher
21 data rate connections that are justified by the traffic volumes the parties exchange.
22 On the other hand, once Verizon itself is forced to bear the costs of its own

1 inefficiency, it may finally have an appropriate incentive to voluntarily upgrade
2 its own network to modern standards.

3 **Q. MR. D'AMICO ALSO OBJECTS TO BRIGHT HOUSE'S PROPOSED**
4 **LANGUAGE GIVING BRIGHT HOUSE THE OPTION TO ESTABLISH**
5 **DS-3 CONNECTIONS OVER EITHER COPPER OR OPTICAL FIBER.**
6 **(D'AMICO DIRECT AT PAGE 13, LINES 6-12.) IS HIS CONCERN**
7 **VALID?**

8 A. No, not at all. Mr. D'Amico seems to be suggesting that, because Bright House
9 has the "option" to establish DS3 trunks on fiber or copper, that Bright House
10 could randomly choose to switch from one to the other. Thus, he claims that if
11 Verizon establishes DS-3 facilities using copper, "Bright House could require
12 Verizon to establish new, fiber interconnection facilities, which would be wasteful
13 and inefficient."¹⁷ But this is not the intent of Bright House's proposed language.
14 That language provides:

15 The Parties shall utilize, at Bright House's option, B8ZS and Extended
16 Super Frame (ESF) trunking at the DS3 level or above (including OC-3,
17 OC-12, or OC-48, as traffic levels dictate), using, at Bright House's
18 option, copper or fiber physical transport facilities for DS3-level
19 connections.

20 Aside from the fact that it would be inefficient and wasteful for Bright House
21 itself to randomly switch from copper DS-3 to fiber DS-3 and back, that is not the
22 point of this language. Rather, the point of the language is that, when a DS-3
23 interconnection is being first established, Bright House, rather than Verizon, can

¹⁷ See, D'Amico Direct at page 13, lines 9-11.

1 choose whether copper or fiber will be used. If Bright House later wants to
2 change an existing DS-3 interconnection from copper to fiber or vice versa, for its
3 own purposes, it would not expect to obtain that change-out of facilities, for its
4 convenience, for free – unless, of course, Verizon agreed to do so for its own
5 purposes. Bright House would have no objection to including language clarifying
6 this point if Verizon is truly concerned about it.

7 **Q. DO YOU HAVE ANY FURTHER COMMENTS ON THIS ISSUE?**

8 A. Yes. Under Section 251(c)(2), Bright House is entitled to interconnect with
9 Verizon at “*any* technically feasible point” that is “within” Verizon’s network.
10 Verizon seems to assume that such “technically feasible points” are somehow
11 limited to ports on its switches (which, in Verizon’s case, can apparently only
12 handle DS-1-level inputs). While it is true that the FCC’s rules list switch ports as
13 examples of “technically feasible” interconnection points,¹⁸ the FCC specifically
14 states that those points include, “at a *minimum*” the listed items, including switch
15 ports. But “interconnection” refers simply to the physical linking of networks to
16 exchange traffic.¹⁹ There are any number of “points” that are “within” Verizon’s
17 network at which DS-3, OC-3, OC-12 and higher data rate signals can be
18 exchanged. These include, for example, fiber ports on Verizon’s fiber optic
19 terminals, the DS-3 or higher ports on the very multiplexing equipment that
20 Verizon improperly seeks to charge Bright House for, and ports on common

¹⁸ See 47 C.F.R. § 51.305(a)(2).

¹⁹ 47 C.F.R. § 51.5.

1 devices in networks known as Digital Access Cross-Connect Systems, or
2 DACCS.²⁰

3 **Q. CAN YOU PROVIDE AN EXAMPLE?**

4 A. Yes. It is technically feasible for Bright House to connect with Verizon at the
5 DS-3 level on Bright House's "side" of the multiplexing/demultiplexing
6 equipment that the parties are using today. Those DS-3 ports, therefore, are
7 "technically feasible points" at which the parties' two networks can be physically
8 linked to exchange traffic. It is only Verizon's unstated – and, under Section
9 251(c)(2) and the FCC's rules, completely unwarranted – assumption that its
10 switch ports are the *only* "technically feasible points" of interconnection that
11 allows it to claim that it is somehow Bright House's responsibility to pay for the
12 multiplexing and demultiplexing needed to get the traffic the parties exchange
13 from that actual point of physical interconnection the rest of the way to Verizon's
14 switches.

15 **Q. IN SUM, WHAT SHOULD THE COMMISSION DO WITH RESPECT TO**
16 **ISSUE #32?**

17 A. The Commission should adopt Bright House's suggested language on this issue.
18 In addition, the Commission should clarify that even if Verizon does not upgrade
19 its switching equipment to permit DS3 or higher-level interconnection rates, the

²⁰ Bright House either has, or shortly will have, sent data requests to Verizon to confirm that Verizon in fact has these types of equipment within its network. That said, I would be truly shocked if it did not, in fact, already have such equipment in place.

1 TELRIC pricing standard does not permit Verizon to charge for the tasks involved
2 in bringing the signals down to the DS-1 level.

3 ***Issue 36 and Issue 24 (Meet Point Billing/TELRIC Rating Of Facilities)***

4
5 **Issue #36: What terms should apply to meet-point billing, including**
6 **Bright House's provision of tandem functionality for exchange**
7 **access services?**

8 (a) **Should Bright House remain financially responsible for**
9 **the traffic of its affiliates or other third parties when it delivers**
10 **that traffic for termination by Verizon?**

11 (b) **To what extent, if any, should the ICA require Bright**
12 **House to pay Verizon for Verizon-provided facilities used to**
13 **carry traffic between interexchange carriers and Bright**
14 **House's network?**

15 **Issue #24 Is Verizon obliged to provide facilities from Bright House's**
16 **network to the point of interconnection at TELRIC rates?**

17 **Q. WHAT IS THE STATUS OF THE DISPUTE UNDERLYING ISSUE #36**
18 **AND ISSUE #24?**

19 A. Based on ongoing discussions between the parties and a review of Verizon's
20 direct testimony, it is necessary to restate and clarify some of the points regarding
21 these issues that I raised in my direct testimony.

22 In my direct testimony, I discussed in some detail the rules regarding meet point
23 billing, which is the industry term for a situation where two local carriers – here,
24 Verizon and Bright House – jointly provide access service to third-party long
25 distance carriers.²¹ A typical situation would involve a call that comes in from a
26 long distance carrier, goes through Verizon's tandem, and then is routed to Bright

²¹ See, for example, Gates Direct at 99-102.

1 House's network for delivery to a Bright House end user. In that situation Bright
2 House and Verizon jointly provide "terminating switched access" service to the
3 long distance carrier. As between the two of them, they physically interconnect at
4 an appropriate point "within Verizon's network" in order to permit the
5 "transmission and routing" of this "exchange access" traffic.²²

6 In my direct testimony I also discussed the fact that the FCC's rules and rulings
7 plainly require that if a competitor, such as Bright House, purchases facilities
8 from an ILEC, such as Verizon, for purposes of reaching the interconnection point
9 "within Verizon's network" for purposes of traffic exchange, those facilities must
10 be priced using the cost-based "TELRIC" standard, and not the (almost
11 universally) higher rates that the ILEC will have in its tariffs.

12 It turns out that the way that Bright House has configured its network in the
13 Tampa area, including its interconnections with Verizon, the only inter-network
14 facilities that are actually at issue between the parties are facilities that Verizon is
15 providing Bright House for purposes of handling the very large amount of meet
16 point billing traffic that the parties exchange with each other. Consequently, it
17 makes sense to discuss Issue #36, regarding meet point billing, and Issue #24,
18 regarding TELRIC pricing of interconnection facilities, at the same time.

19 **Q. PLEASE DESCRIBE THE INTERCONNECTION ARRANGEMENTS**
20 **THAT EXIST TODAY BETWEEN BRIGHT HOUSE AND VERIZON IN**
21 **THE TAMPA AREA.**

²² See 47 U.S.C. § 251(c)(2).

1 A. Bright House has a facility in the Tampa area that contains its switching and
2 associated network gear. Bright House's wholesale customer, its cable affiliate,
3 provides its own facilities to reach that location and receive wholesale telephone
4 exchange service and other telecommunications functions from Bright House.
5 Connecting with Bright House's customer, therefore, is fairly straightforward.

6 Connecting with Verizon, however, is more complicated. To accomplish that
7 purpose, Bright House has established optical fiber "rings" that run from Bright
8 House's facility all the way over to three different physical Verizon locations.
9 Two of these locations house Verizon "end office" switches, that is, switches that
10 serve Verizon end user customers. The third location contains a Verizon end
11 office switch, as well as two Verizon "tandem" switches. Tandem switches do
12 not typically provide service directly to end users. Instead, tandem switches
13 provide links between other *switches*.²³

14 At those three Verizon buildings, Bright House has literally already built its
15 optical fiber to "Manhole 0" – that is, the nearest manhole that exists outside the
16 Verizon building. In addition, Bright House has established physical collocation
17 arrangements in each of those buildings, which contain Bright House's own
18 network gear – including equipment to terminate the fiber optic connections from
19 its own network, as well as ports on which it can either send traffic to, or receive

²³ In the typical case, an ILEC such as Verizon will connect each of its end offices to one or more tandem switches, so that calls between end offices can go through the tandem, either because there is no direct connection between two particular end offices, or because any direct connections that do exist are full. In addition, by connecting every end office to a tandem switch, the ILEC provides a single point within a LATA where long distance carriers can pick up outgoing traffic and drop off incoming traffic. It is this latter function that is most relevant here.

1 traffic from, Verizon. The connection from “Manhole 0” up to the collocation
2 space is provided by means of Verizon-supplied “inner duct” running from the
3 manhole up to the collocation area. Bright House runs a short length of its own
4 optical fiber through the inner duct to its collocated equipment.²⁴

5 Bright House has configured its network, and its connections with Verizon, in a
6 conservative fashion in order to provide redundancy – that is, back-up
7 arrangements so that calls will continue to go through even if some part of the
8 system fails. One aspect of this redundancy is having collocations – and
9 interconnection points – at more than one Verizon location. If one location goes
10 down, traffic can still flow through the others. Another is the fact that Bright
11 House uses “self-healing” fiber ring technology. Basically this means that if (for
12 example) the fiber running directly from Bright House’s switch to one of its
13 collocations is cut, the system will automatically and nearly instantaneously send
14 all the traffic around the ring in the direction away from the cut, so that traffic will
15 still go through.

16 *Still another aspect of redundancy relates specifically to meet point billing traffic.*
17 Under its current agreement with Verizon, Bright House has agreed to pick up
18 that traffic literally at the switch ports on Verizon’s tandem switch. (This is

²⁴ The fact that Bright House has already built optical fiber all the way to the doorstep (almost literally) of three different Verizon central office buildings means that in practical terms, even if Bright House does choose to convert to one or more “fiber meet” interconnections with Verizon, (a) Verizon will not need to construct hardly any fiber at all, much less 500 or more feet; and (b) any fiber meet will occur within a few hundred feet of a Verizon central office. As a result, while Bright House continues to believe that Verizon’s limitations on the location of fiber meets are unduly restrictive as a general matter, Bright House itself is not affected by them, and so is dropping its proposals to modify them. This is why it was possible to settle Issue #27.

1 perfectly acceptable under Section 251(c)(2), the governing statute, as I discuss in
2 more detail below.) But Bright House then buys interconnection facilities from
3 Verizon to connect those switch ports back to its two collocations located at the
4 Verizon end offices. This ensures that even if some Verizon tandem switch ports
5 cease functioning, traffic will still flow through the others; and even if the
6 connection between those switch ports and one of Bright House's collocations
7 goes down, traffic will still flow to the other one. I am attaching a diagram,
8 Exhibit TJG-4, that illustrates this arrangement.

9 As can be seen from the description above, and the diagram, in this arrangement
10 the only interconnection facilities that Bright House is presently purchasing from
11 Verizon are the links between Bright House's collocation facilities at the Verizon
12 end offices, running to the switch ports on Verizon's tandem switch. At present,
13 Verizon is charging Bright House high "special access" rates for these facilities,
14 with bills of approximately \$60,000 per *month*. As I describe below, this is a
15 mistake. These facilities should be billed at lower cost-based TELRIC rates.²⁵

16 **Q. WHICH VERIZON WITNESS ADDRESSES ISSUE #24?**

17 A. Verizon witness Mr. Paul Vasington deals with Issue No. 24, at pages 21-23 of
18 his testimony.

19 **Q. WHAT IS THE GIST OF MR. VASINGTON'S ARGUMENT?**

²⁵ As part of the parties' earlier discussions in this case, they have agreed to settle their dispute under their existing ICA with respect to the billing for these facilities. The issue, therefore, is how they should be priced under the new ICA.

1 A. Mr. Vasington claims that the FCC has ruled that ILECs like Verizon do not have
2 to provide facilities to support interconnection and traffic exchange at TELRIC
3 rates.

4 **Q. IS MR. VASINGTON CORRECT?**

5 A. No. As I explained in my direct testimony, the FCC ruling on which Verizon is
6 relying addressed a completely different question. Briefly, Section 251(c)(2) of
7 the Act deals with the interconnection of networks in order to exchange either
8 telephone exchange service (local) traffic, or exchange access traffic. A different
9 section of the Act, Section 251(c)(3), deals with a CLEC obtaining “access” to
10 “unbundled network elements,” or UNEs, from the ILEC. An ILEC’s obligation
11 to provide UNEs is conditioned in various ways. Most notably, Section 251(d)(2)
12 of the Act says that a CLEC is not entitled to access to a UNE unless the CLEC
13 would be “impaired” in its ability to offer services without it. Based on that
14 provision and other considerations, the FCC held that if a CLEC wants to use
15 ILEC-supplied facilities to connect to an ILEC’s network *in order to access*
16 *UNEs*, such as unbundled local loops, the CLEC is not entitled to those facilities
17 at low, cost-based TELRIC rates. However, the FCC specifically stated that its
18 *ruling limiting the availability of TELRIC-priced facilities used to access UNEs*
19 *does not affect* its long-standing rule that TELRIC-priced facilities must be
20 *provided for purposes of interconnection to exchange traffic.*

21 As I noted in my direct testimony, not only is the FCC’s ruling on this point very
22 clear, but as I understand it (and as Bright House’s lawyers will explain in more

1 detail), the majority of courts that have looked at this issue have concluded that
2 my understanding of the FCC's ruling is correct.

3 **Q. DOES BRIGHT HOUSE BUY UNES FROM VERIZON?**

4 A. As far as I know, it does not. Bright House serves its wholesale customer using
5 its own network facilities, and its wholesale customer has its own means of
6 connecting to end user VoIP subscribers. The only facilities Bright House buys
7 from Verizon are used in support of interconnection for the exchange of traffic.
8 As a result, TELRIC pricing, not tariff pricing, applies to those facilities.

9 **Q. ARE THE FACILITIES THAT CONNECT BRIGHT HOUSE'S**
10 **COLLOCATIONS IN VERIZON END OFFICES BACK TO VERIZON'S**
11 **TANDEM SUBJECT TO THIS RULE?**

12 A. Yes.

13 **Q. PLEASE EXPLAIN.**

14 A. Section 251(c)(2) of the Act calls for interconnection between two networks "at
15 any technically feasible point" for the "transmission and routing" of two specified
16 types of traffic: "telephone exchange service" and "exchange access."
17 "Telephone exchange service" is defined in Section 153(47) of the Act and
18 essentially means normal local telephone service.²⁶ "Exchange access" is defined

²⁶ The definition of this term was actually broadened in the 1996 Act to include not only traditional local telephone service, but also any "comparable" service. As I understand it, the parties do not have any significant dispute about this term. For the record, however, I would note that even if Bright House's wholesale service is not strictly identical to traditional local telephone service, without question it is "comparable" to traditional local service. I note this because Mr.

1 in Section 153(16) of the Act, and essentially means providing long distance
2 carriers with the use of local services and facilities to originate or terminate toll
3 calls. And, if there were any doubt that these are the two critical types of traffic
4 addressed by Section 251(c)(2)'s interconnection obligation, the point is driven
5 home by the definition of "local exchange carrier" in Section 153(26) of the Act.
6 That provision defines a "local exchange carrier" as any entity that provides
7 *either* "telephone exchange service" *or* "exchange access." So, the Act clearly
8 views the provision of originating and terminating access service to long distance
9 carriers as one of the essential attributes of being a local exchange carrier.

10 **Q. WHEN BRIGHT HOUSE BUYS FACILITIES FROM VERIZON TO LINK**
11 **ITS COLLOCATIONS AT VERIZON'S END OFFICES TO VERIZON'S**
12 **TANDEM SWITCH FOR PURPOSES OF SENDING TRAFFIC TO OR**
13 **FROM LONG DISTANCE CARRIERS, IS THAT PART OF PROVIDING**
14 **"EXCHANGE ACCESS" TO THOSE LONG DISTANCE CARRIERS?**

15 A. Absolutely. I do not understand there to be any dispute about this point.
16 Basically, when a long distance carrier has a call to deliver to an end user, one
17 typical configuration is for the call to go from the long distance carrier to an

Munsell suggests (Munsell Direct at page 2, line 19, through page 3, line 2) that Verizon is somehow trying to preserve some claim that Bright House isn't "really" a competing carrier with interconnection rights. Bright House's lawyers will address this issue from a legal perspective if needed. From a practical policy perspective, the Commission should utterly reject any such argument. As noted in my direct testimony, competition from cable-affiliated CLECs, working with affiliated cable entities providing unregulated VoIP service, is far and away the most effective form of local telephone competition that has ever arisen under the Act. Indeed, Mr. Munsell himself bemoans the effectiveness of that competition by reciting how many customers Verizon has lost since Bright House entered the market. See Munsell Direct at page 4, line 24, through page 5, line 13. From my perspective, a claim that Bright House is not entitled to interconnection with Verizon is simply an anticompetitive ploy by Verizon to try to hobble its most effective competitor.

1 ILEC's tandem switch; then from that tandem switch to the end office switch
2 serving the end user; then from that end office switch out to the end user. The
3 portion of that service running from the tandem switch to the end office is
4 generally known as "tandem switched transport." Both Verizon's access tariff
5 and Bright House's access tariff contain specific rate elements charging for that
6 function.²⁷ So, the facilities that Bright House is obtaining from Verizon are
7 without question facilities that are used in support of the provision of access
8 service to long distance carriers.

9 **Q. ARE THOSE FACILITIES, THEREFORE, FACILITIES IN SUPPORT OF**
10 **INTERCONNECTION UNDER SECTION 251(C)(2)?**

11 A. Again, absolutely yes. As noted above, Verizon's obligation to interconnect with
12 Bright House at "any technically feasible point" specifically extends to
13 interconnection "for the transmission and routing of ... exchange access." 47
14 U.S.C. § 251(c)(2)(A). The primary, if not sole, function of the facilities in
15 question is so that long distance calls to or from third party long distance carriers
16 can be "transmitted" and "routed" to or from Bright House's ultimate end users.²⁸
17 As a result, without question these facilities are being provided in order to support
18 interconnection under Section 251(c)(2). They are therefore subject to cost-based

²⁷ Verizon's FCC Tariff No. 14, § 4.2.3(D), describes "Tandem Switched Transport" functions. Bright House's FCC Tariff No. 1 addresses this function at § 4.1.1

²⁸ Based on information provided by Bright House, my understanding is that the majority of traffic transmitted over these facilities – in excess of 300 million minutes of traffic per month – is traffic from third-party long distance carrier networks bound for Bright House end users. In addition, however, Bright House uses these facilities to send 8YY "toll free" calls from its end users to the third party long distance carriers that handle those calls, in cases where Bright House does not have a direct connection to the applicable long distance carrier.

1 TELRIC pricing, not -- as Verizon has been charging under the parties' old ICA -
2 high special access tariff prices.

3 **Q. ISN'T IT TRUE THAT A TYPICAL FACILITIES CONFIGURATION**
4 **SUBJECT TO TELRIC PRICING IS A SO-CALLED "ENTRANCE**
5 **FACILITY" RUNNING FROM A CLEC'S SWITCH LOCATION TO A**
6 **NEARBY ILEC END OFFICE?**

7 A. Yes, that is the example most often used in discussions of this point. But that
8 does not mean that the facilities I have been discussing are not also facilities in
9 support of interconnection. To the contrary, that is plainly what they are, for the
10 reasons described above. Consider the following: if Bright House had not
11 invested in the extensive fiber optic ring network to connect from its own switch
12 location out to Verizon's network, it could clearly buy TELRIC-rated entrance
13 facilities from its switch location to the Verizon tandem where it picks up and
14 hands off the "exchange access" traffic at issue here. It would make no sense
15 whatsoever to penalize Bright House (or any other CLEC) in the form of having
16 to pay higher, *tariffed special access rates* when it makes the considerable
17 investment to get at least part of the way from its own switching location to the
18 ILEC's tandem. Such a rule would create a significant disincentive on CLECs to
19 invest in their own facilities, which is exactly the opposite incentive that the Act
20 is trying to establish.

21 **Q. YOU NOTED EARLIER THAT BRIGHT HOUSE HAS FACILITIES**
22 **THAT RUN TO THE VERIZON TANDEM LOCATION, BUT STILL**

1 **ROUTES THE ACCESS TRAFFIC AT ISSUE HERE TO ITS MORE**
2 **DISTANT COLLOCATIONS IN VERIZON'S END OFFICES.**
3 **COULDN'T BRIGHT HOUSE AVOID THESE TARIFFED CHARGES**
4 **ENTIRELY BY PICKING UP AND HANDING OFF THIS ACCESS**
5 **TRAFFIC DIRECTLY AT VERIZON'S TANDEM?**

6 A. It certainly could, and may indeed reconfigure its network, in the future, to do so.
7 But it may choose to leave some or all of its existing facilities in place in order to
8 preserve the network redundancy that is needed to ensure high-quality service to
9 long distance carriers and its own ultimate end users. Under the current
10 configuration, other than Verizon's tandem switch itself, there is no "single point
11 of failure" that could interfere with Bright House's ability to send and receive
12 traffic between its own network and long distance carriers. If Bright House
13 reconfigured its network to receive all this access traffic directly at its collocation
14 in the building housing Verizon's tandems, the equipment at that collocation
15 would become such a "single point of failure." As a result, it is very possible that
16 at least some of the facilities at issue will remain in place, simply to provide
17 appropriate network redundancy. Moreover, as noted above, the current price of
18 these facilities is approximately \$60,000 per month. Even if Bright House
19 chooses to reconfigure its network to exchange all this access traffic at its
20 collocation at Verizon's tandem building, planning and implementing that
21 reconfiguration will take a number of months. The new ICA should reflect proper
22 TELRIC pricing for the facilities under discussion whether they remain in service
23 only for a period of months while the network is reconfigured, or whether, for

1 reasons of network security and redundancy, Bright House chooses to keep them
2 in place for the entire duration of the new ICA.

3 **Q. IN YOUR DIRECT TESTIMONY YOU SUGGESTED THAT BRIGHT**
4 **HOUSE CANNOT BE REQUIRED BY VERIZON TO EXCHANGE THIS**
5 **ACCESS TRAFFIC AT VERIZON'S TANDEM SWITCH AT ALL, AND**
6 **THAT, INSTEAD, BRIGHT HOUSE SHOULD BE ABLE TO DESIGNATE**
7 **THE COLLOCATIONS AT VERIZON'S END OFFICES AS THE POINT**
8 **OF INTERCONNECTION FOR PURPOSES OF EXCHANGING ACCESS**
9 **TRAFFIC. HOW DOES THE DISCUSSION ABOVE RELATE TO THAT**
10 **POINT?**

11 A. As noted above, interconnection for the "transmission and routing of ... exchange
12 access" traffic is a core, integral part of interconnection under Section 251(c)(2).
13 As a result, Bright House is entitled to interconnect with Verizon for that purpose
14 "at any technically feasible point." It is clearly technically feasible for Verizon to
15 deliver traffic to Bright House from third-party long distance carriers at Bright
16 House's end office collocations with Verizon. (In practical physical terms, that is
17 what is happening today, in that Verizon-provided facilities are handling the
18 transport of this access traffic between the tandem and the end office
19 collocations.) This would be another option for Bright House to consider as it
20 manages its network arrangements with Verizon.

21 **Q. WOULDN'T THAT BE UNFAIR TO VERIZON, SINCE IT IS TODAY**
22 **CHARGING BRIGHT HOUSE FOR THE FACILITIES LINKING**

1 **BRIGHT HOUSE'S END OFFICE COLLOCATIONS TO VERIZON'S**
2 **TANDEMS, AND IT WOULD NOT BE ABLE TO DO SO IF THE**
3 **INTERCONNECTION POINT WERE DEEMED TO BE AT THE END**
4 **OFFICE COLLOCATIONS?**

5 A. No, not at all. The reason is that while Verizon would no longer charge Bright
6 House for those facilities, it would be able to charge the long distance carriers for
7 them.

8 **Q. PLEASE EXPLAIN.**

9 A. The industry standard rules for meet point billing establish that the carrier or
10 carriers that provide the connection from an ILEC tandem out to a CLEC end
11 office get to charge the long distance carrier for that transport function, in direct
12 proportion to how much of it each of them performs. Under today's arrangement,
13 Bright House buys facilities from Verizon (again, paying too much for them
14 today) that run from Verizon's tandem to Bright House's collocations, and then
15 uses its own fiber facilities to get the traffic the rest of the way to its own switch.
16 As a result, Bright House today gets to bill the long distance carriers for 100% of
17 the transport function between Verizon's tandem and Bright House's switch. If
18 Bright House exercised its right under Section 251(c)(2) to establish its
19 interconnection point for the exchange of this access traffic at its end office
20 collocations instead, then *Verizon* would be responsible for providing some of the
21 transport (specifically, the transport from its tandem to Bright House's
22 collocations), while Bright House would be responsible only for some of that

1 transport (from its collocations back to its own switch). Under this scenario,
2 Verizon would indeed “pick up” the cost and the responsibility for part of the
3 transport, but under the industry-standard rules for jointly provided access, it
4 would then be entitled to bill the long distance carriers for the portion of the
5 transport it actually provides.²⁹ There would, therefore, be no unfairness to
6 Verizon if Bright House were to choose to configure its interconnection with
7 Verizon that way. (Obviously, under this potential configuration, Bright House
8 would end up billing the long distance carriers less than it bills them today.)

9 **Q. PLEASE SUMMARIZE YOUR DISCUSSION OF THESE ISSUES SO**
10 **FAR.**

11 A. The discussion above boils down to a few essential points. First, the facilities
12 linking Bright House’s end office collocations to Verizon’s tandem are clearly
13 interconnection facilities in support of the “transmission and routing” of exchange
14 access traffic within the meaning of Section 251(c)(2). Second, for that reason,
15 Verizon is not permitted to charge high tariffed special access rates for those
16 facilities; instead, those facilities must be rated using the efficient, cost-based
17 TELRIC standard. Third, because these facilities are in support of Section

²⁹ For the reference of the Commission and its Staff, I am attaching as exhibits the industry documents that lay out the meet point billing rules. These are the so-called MECAB document (which stands for “Multiple Exchange Carrier Access Billing”) and the MECOD document (which stands for “Multiple Exchange Carrier Ordering Document”). Those documents note that, in general two carriers jointly providing access service to long distance carriers will negotiate to establish the specific hand-off point at which one carrier’s responsibility ends and the other’s begins. As a purely general statement that is true. However, for the reasons discussed above, when the specific arrangement relates to an ILEC and a CLEC operating in the same physical territory, Section 251(c)(2) of the Act empowers the CLEC to designate “any technically feasible point” within the ILEC’s network as the location where the handoff will occur.

1 251(c)(2) interconnection, Bright House may deem the point of interconnection
2 for purposes of the transmission and routing of this traffic to be any technically
3 feasible point within Verizon's network, including, if it so chooses, its existing
4 end office collocations. Fourth, if it exercises that choice, Verizon would no
5 longer be able to charge Bright House anything at all for those facilities. This
6 would be perfectly reasonable, however, because in that event, under standard
7 industry rules for meet point billing (a) Verizon would be able to charge the long
8 distance carriers for the use of those facilities, which it is not doing today and (b)
9 Bright House would have to stop billing the long distance carriers for using those
10 facilities, which it is doing today.

11 **Q. THE DISCUSSION ABOVE COVERS ARRANGEMENTS FOR MEET**
12 **POINT BILLING OF THIRD PARTY LONG DISTANCE CARRIERS**
13 **WHEN VERIZON PROVIDES TANDEM SWITCHING TO THOSE**
14 **CARRIERS, AND THE QUESTION IS HOW TO GET TRAFFIC, VIA**
15 **VERIZON'S TANDEM, TO AND FROM BRIGHT HOUSE'S NETWORK.**
16 **IS THERE ANOTHER MEET POINT BILLING SCENARIO IN DISPUTE**
17 **BETWEEN THE PARTIES?**

18 A. Yes, there is.

19 **Q. PLEASE DESCRIBE THAT OTHER SCENARIO.**

20 A. As far as I can tell, Verizon is taking the position that it has, and is entitled to
21 maintain, what amounts to a complete, 100% monopoly in the Tampa LATA with
22 respect to the provision of tandem switching used to reach Verizon's own end

1 offices. That is, even though it is entirely technically and operationally feasible
2 for Bright House to use its switch and fiber optic connections to Verizon to
3 provide long distance carriers with tandem switching that would route their
4 incoming long distance traffic to the *Verizon* end office serving a *Verizon* end
5 user, Verizon is taking the position that it will simply refuse to establish such an
6 arrangement under the new ICA. In my opinion that is directly contrary to
7 Verizon's obligation to interconnect for the "transmission and routing of ...
8 exchange access traffic." It is also plainly anti-competitive. The Commission
9 should reject Verizon's position on this point entirely.

10 **Q. PLEASE EXPLAIN THE PHYSICAL NETWORK ARRANGEMENTS**
11 **THAT BRIGHT HOUSE WOULD LIKE TO BE ABLE TO USE UNDER**
12 **THIS SCENARIO.**

13 A. As noted above, Bright House has high-capacity optical fiber connections running
14 from its own network switch to three different collocations in three different
15 Verizon switch buildings. Given the volume of traffic that Verizon and Bright
16 House exchange, the parties have established direct trunks -- that is, connections
17 that do not run through Verizon's tandem switch at all -- from those collocations
18 out to all or essentially all of Verizon's end office switches within the Tampa
19 LATA. In physical terms, these trunks start at Bright House's switch, get carried
20 to one of Bright House's collocations using Bright House's own fiber facilities,
21 and then get handed off to Verizon's facilities (which may be fiber, copper, or
22 some combination), which carry the trunks directly to the Verizon end office

1 where the traffic is going to (or coming from; traffic flows in both directions over
2 these trunks).

3 Today, these direct trunks are used only for traffic that begins with a Bright
4 House end user and goes directly to a Verizon end user, or vice versa. (That is,
5 for traffic that is mainly “local” or “telephone exchange service” traffic.)
6 However, it would be technically and operationally simple for (a) long distance
7 carriers with terminating access traffic bound for *Verizon’s* end users to deliver
8 that traffic to *Bright House’s* switch, and then (b) for Bright House to switch that
9 inbound long distance traffic out onto the very same trunks, using the very same
10 facilities, that the parties already have in place to carry local traffic directly from
11 Bright House’s switch to Verizon’s end office switches.³⁰

12 Note that this proposed arrangement is simply the converse of what exists today,
13 discussed above, for handling inbound long distance traffic that first hits
14 Verizon’s tandem switch and then is routed, over jointly provided facilities, to
15 Bright House’s switch. Bright House wants the new ICA to clearly specify that it
16 is equally permissible for inbound long distance traffic coming in from other

³⁰ If Verizon wanted to do so, in order to facilitate billing or for other reasons, it would also be a simple matter to establish logically separate “trunks” to carry this inbound long distance traffic over the same physical facilities used today for local traffic. As noted in my direct testimony, the physical facilities linking the two networks are analogous to a new, wide concrete highway without any lane lines drawn onto it, while “trunks” are analogous to lanes for traffic painted onto the physical concrete highway. While it is common in some contexts to talk about “trunks” linking two networks and “facilities” linking two networks somewhat interchangeably, in some contexts – including the discussion of meet point billing – it is important to keep the two concepts separate. So, to be clear, when I speak of “facilities” linking two switches, I am talking about the physical equipment – the optical fiber or copper wiring – that links two switches. But when I speak of “trunks” between two switches, I am referring to a flow of traffic, electronically or optically broken down into large or small amounts (OC-48 or OC-12 at the high end, DS-3 or DS-1 at the low end), that is handled as a separate group of traffic by the electronic or optical equipment at either end of the physical facility.

1 LATAs to first hit *Bright House's* switch -- which would provide the tandem
2 switching function -- and then be routed over jointly provided facilities to
3 *Verizon's* end offices.

4 **Q. IS THIS PROPOSED ARRANGEMENT CONSISTENT WITH THE**
5 **INDUSTRY'S MECOD AND MECAB RULES REGARDING MEET**
6 **POINT BILLING?**

7 A. Absolutely. Those rules do not require that an ILEC like Verizon be the entity
8 that performs tandem switching for inbound long distance traffic bound for its
9 own end offices. To the contrary, a key point of the MECOD and MECAB rules
10 is to deal with situations where a carrier receives long distance traffic at its end
11 offices that was tandem-switched by another carrier.

12 **Q. WHICH VERIZON WITNESS ADDRESSES ISSUE #36, RELATING TO**
13 **MEET POINT BILLING?**

14 A. Mr. Munsell addresses meet point billing issues at pages 22-31 of his direct
15 testimony.

16 **Q. BASED ON MR. MUNSELL'S TESTIMONY, DOES VERIZON**
17 **DISAGREE WITH YOUR DISCUSSION ABOVE?**

18 A. It is hard to say. On the one hand, some of his words suggest that Verizon is
19 perfectly happy to recognize that Bright House is entitled to provide tandem
20 switching functions in competition with Verizon. On the other hand, when the

1 actual details of his testimony are considered, he actually seems to oppose
2 arrangements under which Bright House could actually compete.

3 **Q. PLEASE EXPLAIN WHAT YOU MEAN.**

4 A. To start with, Mr. Munsell states (at page 22, lines 19-22), that “Verizon has no
5 objection to Bright House operating as a competitive tandem provider,” and
6 suggests that the only problem is that Bright House’s specific proposed language
7 to accomplish that purpose is the only issue. But then his discussion is focused on
8 Bright House providing *originating* access service to third-party long distance
9 carriers. *See, e.g., Munsell Direct* at page 24, lines 17-20.³¹ However, as just
10 explained in the footnote, Bright House’s actual concern at this point is to be able
11 to compete with Verizon for tandem switching and transmission with respect to
12 *inbound* long distance traffic.

13 **Q. DO YOU AGREE WITH MR. MUNSELL THAT IF BRIGHT HOUSE**
14 **WANTS TO PROVIDE ORIGINATING ACCESS SERVICE FROM**
15 **VERIZON’S END OFFICE SWITCHES TO BRIGHT HOUSE’S OWN**

³¹ He states: “My understanding of Bright House’s proposal is that Bright House would set itself up as an alternative access tandem provider, *and that the parties would attempt to route 1+ dialed calls, destined to IXCs, to each other over local interconnection trunks.*” (Emphasis added). This is wrong, in part, in that Bright House does not in any way insist on using local interconnection trunks to handle jointly provided access traffic. If it is feasible to use local trunks for this purpose, that’s fine, but if it isn’t, Bright House is completely amenable to establishing separate trunks for third-party access traffic over the existing physical facilities linking Bright House’s switch with Verizon’s switches. But Mr. Munsell’s fundamental misunderstanding is that Bright House’s initial competitive concern is the ability to provide *terminating* tandem switching to third-party IXCs. That is, Bright House believes that it may be able to interest IXCs in routing their inbound traffic, coming from distant LATAs, to Bright House for switching and routing to Verizon end offices. Yet Mr. Munsell seems focused on outbound traffic.

1 **SWITCH, THAT IT CAN OBTAIN THE REQUISITE FUNCTIONALITY**
2 **FROM VERIZON'S TARIFF?**

3 A. My understanding is that the referenced material in Verizon's FCC Tariff No. 14
4 indeed relates to the functionality required. Basically, in that tariff material, as I
5 understand it, Verizon indicates that it can configure a switch so that if a customer
6 has indicated that "XYZ Long Distance" is his preferred carrier, then any time
7 that customer makes a "1+" call, the call will be routed to a particular outbound
8 switch port – to which "XYZ Long Distance" will have attached a trunk to receive
9 the calls.

10 Importantly, however, that is not the configuration that Bright House is interested
11 in.

12 **Q. WHAT CONFIGURATION IS OF INTEREST TO BRIGHT HOUSE?**

13 A. Bright House is interested in competing with Verizon to provide *terminating*
14 tandem-switched access to third party long distance carriers. Mr. Munsell, in the
15 cited testimony, is talking about *originating* access.

16 **Q. WHAT DOES MR., MUNSELL HAVE TO SAY ABOUT BRIGHT**
17 **HOUSE'S INTEREST IN COMPETING WITH VERIZON FOR**
18 **TERMINATING ACCESS SERVICE?**

19 A. Mr. Munsell, with no technical explanation, simply makes the conclusory
20 assertion that Verizon cannot handle that arrangement. His entire discussion of
21 this point is set out below:

1 Another issue with Bright House's proposal, as I understand it, is
2 that it appears to contemplate that Verizon would, in some
3 instances, subtend the Bright House competitive tandem. For the
4 routing of inbound interexchange traffic, it would appear that
5 Bright House is proposing that traffic routed from the IXCs that
6 use Bright House's competitive tandem service should route
7 through Bright House's tandem and then to the appropriate Verizon
8 end office, such that the Verizon end offices would, in at least
9 some circumstances, subtend the Bright House switch. I believe
10 that this could not work from a network routing perspective, as a
11 switch can only subtend a single tandem for any given NPA/NXX.

12 Because Verizon cannot operate in the way Bright House proposes,
13 Bright House's proposed changes should be rejected. Verizon can
14 and will accommodate Bright House's desire to operate as a
15 competitive tandem provider through the existing ICA provisions
16 and through the TSS provisions in Verizon's tariff, which already
17 spell out the manner in which Bright House can obtain what it
18 needs to provide tandem functionality for exchange access
19 services.³²

20 In other words, Mr. Munsell baldly states that "this could not work from a
21 network perspective" because "a switch" (that is, Verizon's end office switch)
22 "can only subtend a single tandem" (that is, *Verizon's* tandem) "for any given
23 NPA/NXX." As a result, Mr. Munsell states without explanation, "Verizon
24 cannot operate in the way Bright House proposes."

25 **Q. IS MR. MUNSELL CORRECT FROM A POLICY OR TECHNICAL**
26 **PERSPECTIVE?**

27 **A.** No. This statement is breathtaking in both its technical inaccuracy and if
28 accepted, its pure, blatant, anticompetitive and monopolistic effect.

29 **Q. PLEASE EXPLAIN THE TECHNICAL INACCURACY OF MR.**
30 **MUNSELL'S STATEMENT.**

³² See, Munsell Direct at page 24, line 25 through page 25, line 17.

1 A. There is no technical impediment at all to Verizon advertising to the industry,
2 through normal means (the Local Exchange Routing Guide, or LERG) that its end
3 offices can be reached through its own tandem (that is, that they “subtend” its
4 own tandem), while Bright House also announces to the industry, either via the
5 LERG or via private arrangements with long distance carriers, that Verizon’s end
6 offices can *also* be reached through *Bright House’s* switch. That way, third-party
7 long distance carriers with traffic to deliver to Verizon’s end offices would be
8 able to choose which tandem switching service to use – Bright House’s or
9 Verizon’s.

10 **Q. IS THE ARRANGEMENT YOU SUGGEST A NOVEL OR NEW**
11 **APPROACH?**

12 A. No. This is not some new or obscure technical arrangement that Bright House has
13 just invented. To the contrary, for roughly 20 years – two decades – the FCC has
14 required ILECs to make arrangements for what is known as “expanded
15 interconnection” in its end offices. The entire purpose of these “expanded
16 interconnection” arrangements was to allow entities known as “competitive
17 access providers,” or CAPs, to use their own switching and optical fiber facilities
18 to compete with the ILEC in the provision of access services – including
19 terminating switched access. These “expanded interconnection” arrangements are
20 described in the FCC’s rules at 47 C.F.R. § 64.1401, § 64.1402, and § 69.121.
21 They clearly contemplate linking a CAP’s collocated transport facilities with the
22 ILEC’s switched access service – that is, in the context, the use of the ILEC’s

1 switches for either originating or terminating switched access. These FCC rules
2 were originally promulgated in **1992** – nearly 20 years ago.

3 So, not only is Mr. Munsell wrong to suggest that there is something technically
4 infeasible about Bright House linking its own switch (functioning as a tandem)
5 via direct trunks into Verizon's end office for purposes of terminating access, this
6 type of arrangement has been contemplated in the FCC's rules for a long, long
7 time.

8 **Q. PLEASE EXPLAIN THE ANTICOMPETITIVE IMPACT OF MR.**
9 **MUNSELLS' POSITION.**

10 A. The anticompetitive impact is obvious. Mr. Munsell is declaring that Verizon's
11 control of the terminating tandem switched access market is absolute, and that the
12 market is "off limits" to any competition. Any long distance carrier that wants to
13 get traffic to Verizon's end offices without buying a direct connection to that
14 office simply **must** use Verizon's tandem for that purpose. No matter that Bright
15 House might offer a tandem switching service that is less expensive, or more
16 technically advanced (such as allowing inbound traffic to be in IP format) than
17 Verizon's offering. According to Mr. Munsell, those long distance carriers are
18 just stuck.

19 As noted above, the FCC established procedures nearly 20 years ago to facilitate
20 competition between CAPs and ILECs for the provision of access, including
21 tandem switched transport on both originating and terminating traffic.
22 Furthermore, the entire point of the 1996 Act is to open up local exchange

1 markets to competition and, as noted above, local exchange service – what local
2 exchange carriers ~~provider~~ ^{provides} – consists of *either* “telephone exchange service”
3 (local service) *or* “exchange access” service.

4 **Q. IS IT “TECHNICALLY FEASIBLE” FOR VERIZON AND BRIGHT**
5 **HOUSE TO INTERCONNECT THEIR NETWORKS TO EXCHANGE**
6 **TERMINATING SWITCHED ACCESS TRAFFIC BOUND FOR**
7 **VERIZON’S END OFFICE SWITCHES?**

8 A. Yes. Bright House is capable of receiving traffic from third party long distance
9 carriers bound for a Verizon end office and properly switching that traffic onto a
10 trunk that connects directly to the desired Verizon end office. As I understand it,
11 there is no reason that this traffic could not be sent on the very same trunks that
12 carry any other traffic – including local and intraLATA toll traffic – from Bright
13 House to Verizon today. In such an arrangement, Bright House would be
14 responsible for generating the data needed both for Bright House to bill the long
15 distance carrier for the tandem switching it provides, and for Verizon to bill the
16 long distance carrier for the end office switching that Verizon would provide.³³

17 Finally in this regard, because we are talking about the “transmission and routing”
18 of “exchange access” service – that is, because we are talking about

³³ This is the converse of the situation that exists when a long distance carrier today sends traffic to Bright House via Verizon’s tandem. For such traffic, Verizon records the required billing information at its tandem and sends that information to Bright House. Were Bright House to provide tandem switching for traffic bound for a Verizon end office, Bright House would undertake that same recording and data-sharing function. The fact that this is a responsibility of the tandem provider in a meet point billing arrangement is noted in the MECOD/MECAB documents noted above.

1 interconnection arrangements that fall squarely within the ambit of Section
2 251(c)(2) – Bright House is entitled to interconnect with Verizon to exchange this
3 traffic “at any technically feasible point.” There is simply no basis for Verizon’s
4 claim that it cannot handle this kind of interconnection or that it should not be
5 required to do so.

6 **Q. PLEASE SUMMARIZE YOUR DISCUSSION OF THIS POINT.**

7 A. Mr. Munsell is completely wrong in his bald assertion that there is any technical
8 impediment to Bright House providing *terminating* tandem switching services to
9 third party long distance carriers. Either he is misinformed about the relevant
10 technical arrangements or he is trying to obscure, behind inaccurate technical
11 claims, Verizon’s desire to maintain a monopoly grip on the terminating tandem
12 switching and transport market in the Tampa LATA. Either way, the Commission
13 should totally reject Mr. Munsell’s assertions and direct the parties to include
14 Bright House’s meet point billing language in their final ICA.³⁴

15 **Q. WHAT IS THE STATUS OF THE DISPUTE UNDERLYING ISSUE**
16 **#36(A)?**

17 A. Mr. Munsell discusses Issue #36(a) on pages 25-28 of his direct testimony.
18 Although this issue falls under the general heading of the “meet point billing”
19 Issue – that is, Issue #36 – in fact it largely relates to a different question, which is

³⁴ It is possible that Mr. Munsell based his testimony on an earlier, superseded version of Bright House’s proposals. I am attaching, as Exhibit TJG-7, a copy of Bright House’s most recent proposal regarding meet point billing (which would replace Verizon’s proposed Section 10 of the Interconnection Attachment).

1 how to handle so-called "transit" traffic where some third party LEC or other
2 carrier chooses to use Bright House's network to reach Verizon.

3 Obviously, on some level, that situation literally applies to meet point billing, in
4 that in a meet point billing situation a third-party IXC would deliver traffic to
5 Bright House for further delivery to Verizon. But the industry and FCC rules and
6 guidelines are absolutely clear that in the meet point billing situation, the two
7 LECs providing access service do not bill each other at all; instead, they each bill
8 the IXC for the portion of the access services that they provide. I do not
9 understand Mr. Munsell or any other witness to be taking issue with that rule as it
10 applies to terminating access services.

11 Given this, I will defer further discussion of Mr. Munsell's testimony on this point
12 to the discussion of Issue #38 and Issue #39, relating to transit traffic.

13 **Q. WHAT IS THE STATUS OF THE DISPUTE REGARDING ISSUE #36(B)?**

14 A. Mr. Munsell discusses Issue #36(b) on pages 29-31 of his testimony. At this point
15 it is fair to say that this dispute is based on a misunderstanding. Specifically,
16 Bright House understands and agrees that *if* it establishes a port on Verizon's
17 tandem switch as the interconnection point for the exchange of meet point billing
18 traffic where Verizon provides the tandem function, *then* it is Bright House's
19 financial responsibility to establish facilities and trunks from Bright House's
20 network to that tandem switch port. I think it is also undisputed that *if* Bright
21 House chooses to obtain those connections from Verizon, it has to pay Verizon

1 for them – and then, in turn, it gets to bill the IXCs who send traffic to Bright
2 House using those facilities.³⁵

3 **Q. DO YOU HAVE ANY ADDITIONAL COMMENTS ON MR. MUNSELL’S**
4 **DISCUSSION AT PAGES 29-31 OF HIS DIRECT TESTIMONY ON THIS**
5 **POINT?**

6 A. Yes, I have a few observations. First, as discussed above, Bright House is not
7 trying to avoid paying for facilities it obtains from Verizon to reach an agreed
8 interconnection point, which Mr. Munsell assumes to be a port on Verizon’s
9 tandem switch.³⁶ Mr. Munsell states that “I don’t know why Bright House would
10 expect Verizon to provide these facilities for free,” and, indeed, Bright House
11 does not expect that. The question is not whether Bright House is entitled to
12 facilities for free – it isn’t. The question is *where* Verizon’s responsibility ends
13 and Bright House’s begins, so that each of them can properly bill the IXC for the
14 facilities that fall under each one’s respective responsibility. As discussed above,
15 Bright House is entitled (under Section 251(c)(2)) to designate its collocations at
16 Verizon’s end offices as the points at which the interconnection for the exchange
17 of this access traffic occurs. In that event, as discussed above, Bright House
18 would not pay Verizon for the links between Verizon’s tandem and the
19 collocations. That would not be because Verizon would be “provid[ing] these

³⁵ Obviously the parties disagree, as discussed above, about whether those facilities are to be priced out of Verizon’s special access tariff or whether, as Bright House has explained above, they should be priced at cost-based TELRIC rates. But there is no dispute that *if* the interconnection point is at Verizon’s tandem switch port and uses Verizon-supplied facilities to get there, *then* Bright House has to pay Verizon *something* for those facilities.

³⁶ See Munsell Direct at page 29, lines 9-13, and page 30, line 21 through page 31, line 2.

1 facilities [to Bright House] for free.” It would be because Verizon would no
2 longer be providing the facilities *to Bright House* at all. Instead, Verizon would
3 be deemed to be providing the use of those facilities *to the IXCs*, and Verizon
4 would be made whole by being permitted, under normal meet point billing rules,
5 to charge the IXCs for the use of them.

6 Second, I note that from page 29, line 15 through page 30, line 4, Mr. Munsell
7 again focuses on outbound long distance calls that might use the meet point
8 billing arrangement to get to the IXC that will handle the outbound calls. As
9 discussed above, however, the real issue has to do with *inbound* long distance
10 calls.

11 Finally, I note that I generally agree with Mr. Munsell’s point, at page 30, lines 8-
12 10, that “the cost of facilities used to carry traffic to and from IXCs is borne
13 indirectly by the IXCs themselves, as the local exchange carriers levy access
14 charges to the IXC.” As should now be clear, there is no dispute about that. The
15 only issues are (a) What is the demarcation point between those facilities for
16 which Verizon will bill the IXC, and those for which Bright House will bill the
17 IXC? And (b) Whether TELRIC or tariffed rates apply when Bright House buys
18 facilities from Verizon to interconnect their networks for the “transmission and
19 routing” of this third-party “exchange access” traffic.

20 ***Issue 37 (Defining What Calls Are “Local”)***7

21 **Issue #37: How should the types of traffic (e.g. local, ISP, access) that are**
22 **exchanged be defined and what rates should apply?**

1 **Q. WHAT IS THE CURRENT STATUS OF THE DISPUTE UNDERLYING**
2 **ISSUE #37?**

3 A. As I understand it, there is really only one disagreement. Verizon's witness Mr.
4 Munsell at pages 31-37 of his direct testimony, however, identified three areas of
5 disagreement.³⁷

6 **Q. PLEASE EXPLAIN.**

7 A. Mr. Munsell's first noted area of disagreement is, as he puts it, "what should
8 define the local calling area for purposes of intercarrier compensation." This is,
9 indeed, a real disagreement that I discussed in detail in my direct testimony, and
10 also discuss below.

11 Second, Mr. Munsell states that the parties disagree as to "which party bears
12 financial responsibility for which facilities used in connection with local call
13 termination." He also discusses this at pages 34-36 of his testimony. As I
14 understand the state of discussion between the parties, however, there is no longer
15 any disagreement about this. Specifically, my understanding is that Verizon
16 agrees that once Bright House has handed local traffic off to Verizon for
17 termination, Verizon will get paid the agreed rate of \$0.0007 per minute of use for
18 the entire "transport" and "termination" function. That is, Verizon is *not* claiming
19 – as Bright House understands it and has informed me – that it should get to
20 charge any "trunking" fees to carry the traffic from the point of interconnection to
21 the end office. Again, that is covered by the \$0.0007/minute rate. That said, the

³⁷ See Munsell Direct at page 31, lines 13-20

1 parties *did* have a disagreement about whether Bright House should be required to
2 pay Verizon's non-recurring charges to set up a new trunk for the exchange of
3 traffic, but Bright House has chosen to withdraw its argument that even those
4 non-recurring fees should be deemed covered by the \$0.0007/minute rate.
5 Because Verizon agrees that the \$0.0007 per minute rate covers the *use of* its
6 facilities and trunks on its side of the interconnection point, and because Bright
7 House agrees that it will pay non-recurring charges for establishing new trunks,
8 this dispute has been resolved.

9 Third, Mr. Munsell states that the parties disagree about "how the use of local
10 interconnection facilities should be treated when they are used to carry
11 interexchange traffic." Later, at page 37 of his direct testimony (lines 3-8) he
12 states that "the standard practice is to determine the pro-rata part of [a] facility
13 that is used for the carriage of access traffic, and then to re-rate the facility
14 accordingly. If ten percent of the facility is used to carry access traffic, for
15 example, ten percent of it would become chargeable at the access rate." While I
16 understand why Mr. Munsell might think Bright House is disputing this "standard
17 practice" based on Bright House's original filing, in fact since the time of that
18 filing the parties have agreed that the "standard practice" will indeed apply as
19 between them.

20 As a result, the only significant dispute between the parties under Issue #37 (aside
21 from some semantic/wording matters that the parties should be able to work out,
22 discussed in my direct testimony), is the question of what traffic *is* to be treated as

1 access traffic for purposes of their intercarrier compensation arrangements. I now
2 turn to a discussion of that issue.

3 **Q. PLEASE SUMMARIZE BRIGHT HOUSE'S POSITION WITH RESPECT**
4 **TO TREATING TRAFFIC EXCHANGED BETWEEN THE PARTIES AS**
5 **SUBJECT TO ACCESS VERSUS RECIPROCAL COMPENSATION.**

6 A. I discuss this in detail in my direct testimony. Very briefly, Bright House's
7 proposal is consistent with the Commission's conclusion when it looked at this
8 issue a few years ago. As noted in my direct testimony, the Commission earlier
9 concluded that the competitively neutral, fair solution is that, when an ILEC and a
10 CLEC are interconnected and competing head-to-head for the same customers,
11 the application of reciprocal compensation, as opposed to access charges, should
12 depend on the local calling areas established by the *originating* carrier. That is, if
13 one of the carriers offers its customers a large local calling area, then when its
14 customer make calls within that area, the carrier should not be penalized by
15 having to pay its competitive rival a "penalty" in the form of high access charges.
16 On the other hand, if one of the carriers would treat a call between the same two
17 points as a toll call, it is perfectly reasonable to allow the terminating carrier to
18 charge terminating access rates when that call is terminated. In that case the
19 originating carrier views the call as a toll call, effectively acts as a long distance
20 carrier, and collects a toll that makes it economically reasonable to require it to
21 pay access. This proposal facilitates and encourages head-to-head competition
22 between ILECs and CLECs.

1 **Q. WHAT DO YOU UNDERSTAND TO BE VERIZON'S OBJECTION TO**
2 **THIS STRAIGHTFORWARD AND PRO-COMPETITIVE PROPOSAL?**

3 A. Verizon explains its position on this issue at pages 32-34 of Mr. Munsell's
4 testimony. Basically he says that (a) the Commission should determine the status
5 of calls as toll or local for purposes of intercarrier compensation based entirely on
6 a fixed set of local calling zones, and (b) those calling zones should be the ones
7 established by the ILEC. Bright House's proposal, according to Mr. Munsell, is
8 "unworkable" because carriers might offer a variety of local calling plans, and
9 "millions of minutes" would have to be rated differently.³⁸

10 **Q. ARE MR. MUNSELL'S OBJECTIONS VALID?**

11 A. No. At the outset, I would note that under the regime in place under the parties'
12 current ICA – which Mr. Munsell thinks should continue – Bright House ends up
13 paying Verizon in the range of \$70,000 *per month* in access charges in
14 connection with calls that are, purely and simply, local calls to Bright House's
15 end users. So it is highly convenient for Verizon to declare that it is
16 "unworkable" to establish a billing regime that would have the effect of depriving
17 Verizon of that unjustified, multi-million-dollar windfall. That said, there is
18 nothing remotely "unworkable" about Bright House's proposal.

19 **Q. PLEASE EXPLAIN HOW INTERCARRIER BILLING WORKS.**

³⁸ See Munsell Direct at page 33, line 3 through page 34, line 4.

1 A. Basically there are two ways to handle it. One is to individually rate each call that
2 comes in as either an access call or a reciprocal compensation call. The other is to
3 do traffic studies from time to time to identify a factor that identifies what portion
4 of total incoming minutes are access and what portion are reciprocal
5 compensation. Either one can work in this situation.

6 **Q. HOW WOULD BILLING ON A CALL-BY-CALL BASIS WORK UNDER**
7 **BRIGHT HOUSE'S PROPOSAL?**

8 A. Each carrier records key information about incoming calls, including the
9 originating number (including both the "directory" number and, if the number has
10 been ported, the actual internal network number the originating carrier has
11 assigned to the end user, called the "local routing number," or LRN), the
12 terminating number (again, including both the "directory" number and the LRN),
13 and the number of minutes the call lasts. A carrier's billing computers (or those
14 of its billing vendor) decide whether a call is subject to access or reciprocal
15 compensation by comparing the originating "exchange" (identified by the first six
16 digits of a ten digit number) and the terminating "exchange." So all that Verizon
17 would have to do to implement Bright House's proposal would be to update its
18 billing tables to reflect that calls from any Bright House exchange to any Verizon
19 exchange in the Tampa LATA are to be rated as local.³⁹ Mr. Munsell makes this
20 sound difficult, but in fact it is a straightforward process of updating a computer
21 database from time to time. There is nothing "unworkable" about it.

³⁹ If and to the extent that other carriers, in the future, were to adopt the ICA containing this arrangement, Verizon would simply update its billing tables to reflect those other carriers' calling arrangements as well.

1 **Q. HOW WOULD BILLING WORK ON A “FACTOR” BASIS UNDER**
2 **BRIGHT HOUSE’S PROPOSAL?**

3 A. If updating its billing tables really was too hard for Verizon to manage, it does not
4 have to undertake that effort. In that event, the parties would simply take a
5 detailed sample of the traffic they send each other for some representative period
6 (say, a full week of traffic) and subject that traffic to a special study (outside the
7 normal monthly billing process) to determine, based on each carrier’s originating
8 local calling areas, what portion of the traffic is “local” and what portion is “toll.”
9 Then, for the next six months (or other reasonable period), the parties would
10 simply count the total number of minutes they send each other, and apply the
11 relevant factor to those minutes. Again, in Bright House’s case this would be
12 extremely easy, because 100% of Bright House’s end users get local calling to the
13 entire Tampa LATA. As a result, Verizon would have no trouble at all billing
14 traffic from Bright House properly. But Bright House, under this option, would
15 base its charges to Verizon on the results of periodic “off-line” detailed reviews of
16 the traffic Verizon sends to Bright House.⁴⁰

17 In this regard, I note that the use of factors based on “off-line” studies to
18 determine how to rate traffic between carriers is a very old, established, and well-
19 understood practice in the industry. It dates, at least, back to the original access
20 tariffs established by the FCC in 1984, and is contained (although I have not
21 literally counted them) in hundreds of interconnection agreements around the

⁴⁰ Again, if other carriers were later to adopt the ICA containing this arrangement, off-line studies with respect to traffic between Verizon and those other carriers could easily be undertaken and used for billing.

1 country under the 1996 Act. Using billing factors is straightforward, standard
2 industry practice. There is nothing even very hard – much less “unworkable”
3 about it.

4 **Q. WHAT ABOUT MR. MUNSELL’S CONCERN THAT DIFFERENT**
5 **CARRIERS HAVE DIFFERENT LOCAL CALLING PLANS, SO THAT**
6 **CALLS THAT ARE SUPPOSEDLY “LOCAL” TO SOME CUSTOMERS**
7 **ARE “TOLL” TO OTHERS?**

8 A. First, I would note that in Bright House’s case that proposal is entirely theoretical,
9 in that all of Bright House’s end users get local calling to the entire Tampa LATA
10 (and, actually, beyond). But I recognize that Verizon itself has a number of so-
11 called local calling plans, and that other carriers may as well.

12 That said, this issue, as well, is not complicated. I noted in my direct testimony
13 that the Act defines “toll” calls as those for which there is a charge over and
14 above the basic local exchange service charge. This presents a simple and
15 straightforward rule for dealing with carriers who have multiple “local” calling
16 plans. Specifically, the carrier’s “local” calling area for purposes of intercarrier
17 compensation would be the smallest calling zone available to a customer in a
18 given exchange. If the carrier allows customers to avoid per-minute toll charges
19 by paying an extra flat rate to treat certain calls as “local,” that extra payment
20 would be treated, for purposes of intercarrier compensation, as a “toll” charge
21 warranting the imposition of access charges.

1 This rule would allow the carrier receiving traffic to either update its billing
2 computers to appropriately assess access charges on a call-by-call basis, or to
3 conduct an “off-line” study to develop a factor to apply to all incoming minutes.

4 Note, however, that this problem simply does not exist with respect to *Verizon’s*
5 billings to *Bright House*, because Bright House end users have single calling plan
6 that includes local calling to the entire LATA, including all of Verizon’s
7 customers. And, it again bears emphasis that it is extremely convenient for
8 Verizon to find these straightforward solutions to be obscure and complicated, for
9 the simple reason that, if Verizon acknowledges how straightforward this process
10 actually is, it will lose millions of dollars in unwarranted and inappropriate access
11 charge payments it is now receiving from Bright House.

12 For these reasons, the Commission should reject Mr. Munsell’s objections to
13 Bright House’s fair and simple proposal for determining when access charges, as
14 opposed to reciprocal compensation, applies between the parties, and adopt Bright
15 House’s proposal. Given Verizon’s objections, the Commission should
16 specifically rule that (a) the parties will use either call-by-call billing, or a billing
17 factor based on a periodic study, at each party’s discretion, and that (b) in the case
18 of a carrier with multiple “local” calling plans, the treatment of calls from that
19 carrier as “toll” or “local” will be based on the carrier’s smallest local calling
20 areas, as described above.

21 *Issue 7 (Can Verizon Unilaterally Cease Performance?)*
22

1 **Issue #7: Should Verizon be allowed to cease performing duties provided**
2 **for in this agreement that are not required by applicable law?**

3 **Q. PLEASE DESCRIBE THE CURRENT STATUS OF THE DISPUTE**
4 **UNDERLYING ISSUE #7.**

5 A. As I described in my direct testimony, Verizon has proposed contract language
6 that appears to give it a “get out of jail free” card with respect to a broad array of
7 the obligations it purports to accept under the new ICA, and that is almost certain
8 to lead to numerous acrimonious disputes. Specifically, Verizon wants the
9 contract to include language (General Terms and Conditions, Section 50) that says
10 that – notwithstanding Verizon’s agreement to numerous terms and conditions in
11 the contract that have not been arbitrated by the Commission – Verizon isn’t
12 really “bound” by those terms and conditions if Verizon, in its sole discretion,
13 later concludes that it was not compelled to agree to them by applicable law. This
14 takes the whole idea of a binding, negotiated agreement and turns it on its head.
15 In practical terms, it makes it impossible for Bright House to actually plan its
16 business, or have any assurance that Verizon’s contractual commitments are
17 worth the paper they are printed on.

18 **Q. WHAT DO VERIZON’S WITNESSES SAY ABOUT ISSUE #7?**

19 A. Mr. Munsell addresses Issue #7 at pages 7-9 of his testimony. His discussion
20 makes very little sense to me. His first contention is that under applicable law,
21 *factual circumstances* can change in such a way that a Verizon obligation that
22 exists today to provide some service will disappear. His only example, however,
23 is totally irrelevant to Bright House – he cites the FCC’s rule that when market

1 conditions change in certain ways, Verizon can withdraw the offering of certain
2 UNEs from the affected markets. Bright House does not dispute that aspect of
3 applicable law, but as far as I am aware, and as far as Bright House is aware, the
4 example Verizon gives is the only one of its kind. If Verizon wants to include
5 language in the UNE attachment that clarifies that it can stop offering specific
6 UNEs on 30 days' notice if that is appropriate under the FCC's rulings regarding
7 "impairment," Bright House would have no objection. But it makes no sense to
8 take that specific and unusual legal situation regarding certain UNEs, turn it into a
9 general principle applicable to everything in the ICA, and place it in the General
10 Terms and Conditions Section.

11 Second, Mr. Munsell wants Verizon to have the right to unilaterally stop paying
12 compensation to Bright House if applicable law changes so that certain
13 compensation is no longer required. At a high level this is completely
14 inappropriate: if applicable law changes in a way that materially affects Verizon's
15 (or Bright House's) payment obligations, then the parties will invoke the "change
16 in law" provisions of the contract and negotiate an appropriate change.

17 **Q. WHAT IS VERIZON REALLY WORRIED ABOUT IN CONNECTION**
18 **WITH THE "STOP PAYMENT" ASPECT OF ISSUE #7?**

19 A. Starting about a dozen years ago, there was a lot of controversy in the industry
20 over whether calls from end users of an ILEC, to dial-up ISPs served by a CLEC,
21 were subject to intercarrier compensation of any sort. This was back in the hey-
22 day of dial-up access to the Internet, so the volume of such calls was huge.

1 CLECs demanded payment, and frequently received it, while ILECs fought in a
2 variety of forums to get their payment obligations lowered or eliminated. My
3 understanding is that in some cases, Verizon had difficulty getting CLECs to
4 agree to accept reduced per-minute payments for ISP-bound calls even after the
5 FCC established those reduced payments in an order in April 2001.⁴¹ I strongly
6 suspect that Verizon's assertion of a general right to automatically stop paying if
7 the law changes reflects its problems following that 2001 FCC Order.

8 **Q. AS FAR AS YOU ARE AWARE, IS THERE ANY OTHER**
9 **"COMPENSATION OBLIGATION" WITH A SIMILAR HISTORY IN**
10 **THE INDUSTRY?**

11 A. No.

12 **Q. DOES THE CONTROVERSY ABOUT PAYING FOR CALLS TO DIAL-**
13 **UP ISPS HAVE ANYTHING TO DO WITH BRIGHT HOUSE AND ITS**
14 **ICA WITH VERIZON?**

15 A. No. Bright House has informed me that it does not have any dial-up ISPs as
16 customers and its cable affiliate does not provide VoIP services to any dial-up
17 ISPs. This is simply not an issue between Bright House and Verizon.

18 Given that, Bright House would be willing to include language in the
19 Interconnection Attachment that states that if the FCC were to issue a ruling that

⁴¹ *Implementation of the Local Competition Provisions in the Telecommunications Act of 1996; Intercarrier Compensation for ISP-Bound Traffic, Order on Remand and Report and Order, 16 FCC Rcd 9151 (2001) ("ISP Remand Order").*

1 no compensation is required for ISP-bound calls, Verizon could immediately stop
2 paying Bright House compensation for such calls. As noted, as far as Bright
3 House is aware, there is no such traffic being exchanged between Verizon and
4 Bright House today.⁴² But this is not a general problem, and Verizon's concern
5 about it does not establish a general principle that it should be able to stop paying
6 Bright House in response to a change in law, without invoking the normal change-
7 in-law negotiation process.

8 **Q. WHAT SHOULD THE COMMISSION DO IN REGARD TO ISSUE #7?**

9 A. As noted above, Bright House would not object to moving the "stop providing
10 services" language, properly clarified, to the UNE attachment, and would not
11 object to moving the "stop paying for ISP-bound calls" language, properly
12 clarified, to the Interconnection Attachment. Neither of these provisions – when
13 limited to the specific context giving rise to Verizon's concern – is of any concern
14 to Bright House. But it is completely inappropriate to include these provisions as
15 generally applicable terms in the "General Terms and Conditions" of the ICA, and
16 the Commission should reject Verizon's proposal to include this language there.

17 **Q. DOES THIS CONCLUDE YOUR DISCUSSION OF THE "TIER 1"**
18 **ISSUES YOU IDENTIFIED EARLIER IN YOUR TESTIMONY?**

19 A. Yes, it does.

⁴² I would note, for the record, that the chance of the FCC issuing such an order is negligible. The FCC's most recent ruling on this topic, from November 2008, confirms that calls to ISPs are subject to reciprocal compensation under Section 251(b)(5) of the Act, and reaffirms the FCC's special \$0.0007 rate applicable to such traffic (if it applies to all traffic the parties exchange).

1 **C. “Tier 2” Open Issues.**

2 **Q. WHAT ARE THE REMAINING, “TIER 2” ISSUES?**

3 A. As noted above, there are about a dozen “Tier 2” issues. These are:

- 4 • Issue #1 (role of tariffs in the ICA) and Issue #2 (definitive prices);
- 5 • Issue #3 (treatment of traffic not specifically identified in the ICA);
- 6 • Issue #4(a) (treatment of the terms “customer” and “end user”);
- 7 • Issue #13-(time limits on back-billing, and raising billing disputes);
- 8 • Issue #16 (terms regarding assurance of payment);
- 9 • Issue #20 (parties’ obligations to reconcile their network architectures);
- 10 • Issue #22 (terms regarding use of Verizon’s OSS);
- 11 • Issue #28 (types of traffic that may be sent via a fiber meet arrangement);
- 12 • Issue #29 (establishing separate trunk groups for different traffic types);
- 13 • Issues #38 and #39 (relating to transit traffic, which also includes a
- 14 discussion of Issue #36(a));
- 15 • Issue #44 (unlocking 911 records);
- 16 • Issue #45 (inclusion of collocation terms in the ICA); and
- 17 • Issue #49 (resale of special access circuits sold at retail).

18 I discuss each of these issues below. I would emphasize that, while these issues

19 are not as critical to the parties’ interconnection relationship as the “Tier 1” issues

20 discussed earlier, it is still important for the Commission to reach the correct

21 conclusion with respect to them. For the reasons discussed in my direct

22 testimony, and below, in each case the Commission should adopt Bright House’s

23 proposed resolution of these issues.

1 ***Issue 1 and Issue 2 (Role of Tariffs/Definitive Rates)***

2 **Issue #1: Should tariffed rates and associated terms apply to services**
3 **ordered under or provided in accordance with the ICA?**

4 **Issue #2: Should all charges under the ICA be expressly stated? If not,**
5 **what payment obligations arise when a party renders a service**
6 **to the other party for which the ICA does not specify a**
7 **particular rate?**

8 **Q. WHAT IS THE STATUS OF ISSUE #1 AND ISSUE #2?**

9 A. As I noted in my direct testimony, Bright House and Verizon have a philosophical
10 disagreement about the role of tariffs in interconnection agreements.⁴³ In
11 addition, Bright House and Verizon probably disagree, in the abstract, about how
12 important it is, or is not, for all rates under the ICA to be expressly stated in the
13 ICA. However, as a result of the parties undertaking a detailed review of the
14 actual charges between Bright House and Verizon, it appears that the parties are
15 in a position such that essentially all of the significant rates they charge each other
16 are either (a) clear as between the parties or (b) clearly in dispute under some
17 specific issue, with the parties asking this Commission to determine what rate
18 applies. As a result, the practical impact of the parties' abstract/philosophical
19 disputes is likely to be minimal.

20 **Q. PLEASE DESCRIBE THE STATUS OF THE PARTIES' AGREEMENTS**
21 **AND DISAGREEMENTS WITH RESPECT TO PRICING ISSUES.**

22 A. I summarize the status of those agreements and disagreements below:

⁴³ See e.g., Gates Direct at 21-22.

- 1 • **Directory Listing Fees.** The parties have agreed on non-recurring charges
2 for setting up directory listings; they have agreed that certain directory
3 listing situations will have no charge to Bright House; and they have
4 agreed that Verizon's tariffed rates for special or extra directory listing
5 services will apply in other cases. These rates are no longer in dispute.
- 6 • **Per minute call termination fees.** The parties agree that the minutes they
7 send each other will either be rated at \$0.0007 per minute (for "local" or
8 "reciprocal compensation" traffic) or at the terminating party's per-minute
9 tariffed access rates. They disagree about which minutes fall into which
10 category, but are asking the Commission to resolve that dispute in Issue
11 #37, discussed above.
- 12 • **Collocation Fees.** Bright House understands that the collocation rates that
13 Verizon has included in its Florida collocation tariff were established by
14 this Commission in a proceeding specifically designed to set collocation
15 rates, terms and conditions. While the parties still have to sort out the
16 question of whether collocation terms and conditions should be included
17 in the body of the agreement, Bright House accepts Verizon's
18 Commission-established collocation prices, and will address any Verizon
19 attempt to modify those rates in an appropriate proceeding before the
20 Commission.
- 21 • **Facilities charges.** As described above, Verizon wants to impose its
22 tariffed special access rates for interconnection-related facilities obtained

1 by Bright House, and Bright House maintains that those facilities must be
2 provided at much lower cost-based TELRIC rates. They are asking the
3 Commission to resolve that question in connection with Issue #36 and
4 Issue #24, above.⁴⁴

5 In light of this improved clarity with respect to the prices that Bright House will
6 actually be charged, the dispute about the role of tariffs is less critical than before,
7 in practical terms.⁴⁵

8 That said, for the reasons described in my direct testimony, Bright House
9 continues to believe that it is confusing and impractical to treat Verizon's tariffs
10 as being "incorporated by reference" into an ICA. In those cases where the
11 parties have agreed to apply a tariffed rate (such as for "extra" directory listing
12 services, as noted above), it is a simple enough matter to state, for those functions,
13 that specific tariffed rates apply.

14 **Q. WHAT DOES VERIZON SAY ABOUT ISSUE #1?**

15 A. Based on the parties' extensive efforts to narrow this issue prior to the filing of
16 direct testimony, Verizon chose not to address the issue in direct testimony.⁴⁶

17 While (as indicated by the discussion above) the practical impact of this issue is

⁴⁴ Bright House and Verizon have not reached any agreement as to the *specific rate levels* that would apply to these facilities once it is established that TELRIC, rather than tariffed, rates apply. I am informed that the parties have agreed that if the Commission so rules, they will first attempt to negotiate appropriate TELRIC rates, and bring the matter to the Commission only if they are unable to do so.

⁴⁵ I should note that I would not necessarily agree with the settlement terms and conditions that the parties have agreed to. Nevertheless, the settlement is a reasonable way to proceed and to get this litigation behind us so the parties can focus on serving customers.

⁴⁶ See Vasington Direct at page 2, line 9.

1 less than it might first have appeared, and while the parties may indeed be able to
2 settle it entirely, at the moment there is no agreement about what the contract
3 should actually say in connection with tariffs. We will review Verizon's rebuttal
4 testimony on this point with interest.

5 **Q. WHAT IS THE STATUS OF THE PARTIES' DISPUTE REGARDING**
6 **ISSUE #2?**

7 A. It is essentially the same as regards Issue #1. Bright House proposed language to
8 require every rate that would be charged under the contract to be clearly stated in
9 the contract. That is necessary for the reasons stated in my direct testimony. But
10 because the parties either have, or following rulings by the Commission will have,
11 clarity with respect to the rates that govern the overwhelming majority of their
12 payments to each other, the practical significance of Issue #2 is also diminished.

13 ***Issue 3 (Billing Of Traffic Not Addressed In ICA)***

14 **Issue #3: Should traffic not specifically addressed in the ICA be treated**
15 **as required under the Parties' respective tariffs or on a bill-**
16 **and-keep basis?**

17 **Q. WHAT IS THE CURRENT STATUS OF THE DISPUTE UNDERLYING**
18 **ISSUE #3?**

19 A. As I explained in my direct testimony, it is possible that some "type" of traffic
20 might arise or evolve during the term of the agreement that does not fit within any
21 of the various categories of traffic the parties have defined.⁴⁷ To avoid disputes,

⁴⁷ See, Gates Direct at 114-117.

1 Bright House proposed to exchange such traffic on a “bill and keep” basis until it
2 becomes significant, and then, at either party’s option, to negotiate an appropriate
3 rate. Verizon simply wants the parties’ tariffed rates to apply to any such traffic.

4 **Q. WHAT IS VERIZON’S POSITION ON THIS ISSUE?**

5 A. Mr. Vasington addresses this issue on pages 2-3 of his testimony. He claims that
6 Bright House is trying to “avoid tariffed intercarrier compensation rates that other
7 carriers are required to pay.” He also claims that Bright House wants the traffic to
8 be exchanged for free “unless Verizon can unerringly divine (and provide a rate
9 for) every conceivable type of traffic the parties might exchange in the future.”

10 **Q. ARE MR. VASINGTON’S CONCERNS VALID?**

11 A. No. As I noted in my direct testimony, the parties have agreed to include
12 definitions of a wide array of traffic types. It is not at all clear which Verizon
13 tariffs might apply to as-yet unknown traffic. And since we are talking here about
14 hypothetical types of traffic that have not yet appeared, there are no “other
15 carriers” that are “required to pay” for this traffic today.

16 **Q. COULD YOU CLARIFY WHAT BRIGHT HOUSE IS SEEKING HERE?**

17 A. Yes. In those rare occasions when new types of traffic arise in the industry there
18 tend to be disputes about the intercarrier compensation applicable to them. The
19 industry has struggled for more than a decade about how to handle ISP-bound
20 calls, and even the FCC’s most recent ruling on that topic leaves some matters
21 unresolved, at least in the mind of some carriers. The industry has also struggled

1 more recently with how to handle VoIP traffic. Bright House and Verizon were
2 able to reach agreement on both those types of traffic.

3 If and when some new type of traffic arises, Bright House's proposal would create
4 a smooth and straightforward way to work out how to handle it. Assuming the
5 amount of the traffic remains low enough, the parties would effectively ignore it.
6 But once it reached a relatively low threshold of volume (a DS1's worth of traffic
7 for three months), the parties would sit down and negotiate how to handle it – just
8 as they have done in this ICA with ISP-bound traffic, VoIP traffic, and other
9 traffic types. If they cannot agree, they would bring the question to the
10 Commission for resolution.

11 **Q. IN YOUR OPINION, IS THIS A REASONABLE WAY TO DEAL WITH**
12 **THE POTENTIAL FOR “NEW TRAFFIC”?**

13 A. Yes. This is a fair, reasonable, and straightforward way to handle the issue of
14 “new” traffic without unnecessary contention. The Bright House proposal
15 provides correct incentives for both parties to resolve any issues with such traffic.

16 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO THIS**
17 **ISSUE?**

18 A. For the reasons stated here and in my direct testimony, the Commission should
19 adopt Bright House's proposal.

20 *Issue 4 (Definitions of “Customer” And “End User”)*
21

1 **Issue #4: (a) How should the ICA define and use the terms**
2 **“Customer” and “End User”?**

3 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE # 4(a)?**

4 A. As explained in my direct testimony, Bright House wants to be sure that when the
5 ICA refers to a party’s “customer” or “end user,” those terms are properly
6 construed to include consumers who get interconnected VoIP service from Bright
7 House’s cable affiliate.⁴⁸ For example, references to a “customer” or “end user”
8 being included in an E911 database, or a directory listing, logically refer to the
9 consumer receiving VoIP service, not Bright House’s direct wholesale customer.

10 Bright House’s initial proposal to Verizon was to include specific definitions of
11 “customer” and “end user” that would guarantee this result. More recently, Bright
12 House has proposed that language along the following lines be included at an
13 appropriate place in the ICA: “Where this Agreement refers to a Party’s
14 ‘customer’ or ‘end user,’ such term shall be construed to include an end user
15 subscriber to an interconnected VoIP service that obtains PSTN connectivity
16 through a Party’s network where the context reasonably so requires.” Verizon
17 continues to reject this suggestion.

18 **Q. WHAT DOES VERIZON SAY ABOUT THIS ISSUE?**

19 A. Mr. Vasington addresses this issue at pages 3-6 of his testimony. He interprets
20 Bright House’s proposed definitions as creating a variety of contractual issues
21 involving not only Bright House, but also its cable affiliate and possibly others.

⁴⁸ See, Gates Direct at 57-59.

1 While I do not agree that Bright House's proposed language would have those
2 effects, as just discussed Bright House's purpose in raising the issue was much
3 more limited. I will await Verizon's rebuttal testimony to see its reaction to
4 Bright House's latest proposal.

5 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
6 **4(A)?**

7 A. The Commission should adopt Bright House's revised proposal, as described
8 above.

9 ***Issue 13 (Time Limits On Back-Billing And Bill Protests)***

10 **Issue #13: What time limits should apply to the Parties' right to bill for**
11 **services and dispute charges for billed services?**

12 **Q. WHAT IS THE STATUS OF THE DISPUTE UNDERLYING ISSUE #13?**

13 A. As I explained in my direct testimony, Bright House proposes to impose a
14 reasonable time limitation that would apply to bills rendered under the agreement,
15 and to disputes arising about those bills.⁴⁹ Specifically, Bright House has
16 proposed that if a party doesn't render a bill for a service for more than a year
17 after the service was provided, then the party's right to bill for the service is
18 waived. Similarly, if a party has a dispute it wants to raise about a bill that it has
19 received (and already paid), the party must raise the dispute within a year after the
20 bill is received. Verizon continues to object to these proposals.

⁴⁹ See, Gates Direct at 48-50.

1 **Q. WHAT ARE VERIZON'S OBJECTIONS?**

2 A. This issue is addressed by Mr. Munsell at pages 12-16 of his testimony. He
3 basically claims that billing is complicated and that sometimes mistakes are made.
4 As a result, he argues, it is appropriate for there to be no limit at all on the time
5 during which a party can protest a bill, or back-bill for previously rendered
6 services, other than Florida's general statute of limitation. He also cites to a 2003
7 decision from this Commission in which the Commission rejected a claim similar
8 to that put forward by Bright House here.⁵⁰

9 **Q. SHOULD THE COMMISSION ADOPT BRIGHT HOUSE'S PROPOSAL**
10 **NOTWITHSTANDING THE EARLIER ORDER?**

11 A. Yes. I expect Bright House's attorneys to deal with the literal legal significance
12 of the earlier case, which is not, as I understand it, binding on the Commission in
13 subsequent arbitrations such as the one now underway. I would simply note the
14 following points:

- 15 • One would expect that Verizon's billing systems and procedures would
16 have improved over the seven years since that case was decided, so that
17 whatever problems Verizon might have had with billing in the past, they
18 should be fixed now.
- 19 • The competitive carrier involved in the other case – COVAD – was a
20 “data CLEC” that relied mainly on Verizon's unbundled network elements

⁵⁰ See *Petition for Arbitration of Open Issues*, Order No. PSC-03-1139-FOF-TP, Docket No. 020960-TP at 14 (Oct. 13, 2003) (“*Verizon/Covad Order*”).

1 to provide high-speed Internet access services to end users. For a carrier
2 with such a business model, Verizon would likely be sending the carrier
3 large bills every month, whereas the carrier would be providing few if any
4 services to Verizon. As a result, even if the one-year limitation that
5 COVAD had proposed nominally applied to both parties, in fact the real
6 risk in not being able to back-bill fell almost entirely on Verizon. Here,
7 with the parties exchanging hundreds of millions of minutes of traffic each
8 year, the time limitation on back-billing (and bill protests) truly is mutual
9 in a way that probably was not true in the COVAD situation.

- 10 • In the COVAD case, the Commission noted that COVAD had apparently
11 failed to provide any legal authority for the Commission to impose a
12 requirement that differed from Florida's normal statute of limitations.
13 Without attempting to get into a legal discussion, I would simply note that
14 Sections 251 and 252 of the Act expressly empower the Commission to
15 impose "just and reasonable" terms and conditions with respect to
16 interconnection agreements. For the reasons described in my direct
17 testimony, it seems clearly "just and reasonable" to impose a one-year
18 limit on back-billing and bill protests.

19 For all of these reasons, the Commission should set aside Verizon's objections
20 and accept Bright House's proposed limitation on back-billing and bill protests.

1 ***Issue 16 (Assurance Of Payment)***

2 **Issue #16: Should Bright House be required to provide assurance of**
3 **payment? If so, under what circumstances, and what remedies**
4 **are available to Verizon if assurance of payment is not**
5 **forthcoming?**

6 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #16?**

7 A. Verizon has proposed to include language in the agreement, supposedly to protect
8 Verizon in the case of Bright House encountering financial difficulties, in General
9 Terms and Conditions Section 6. The terms, however, are one-sided and
10 potentially oppressive. In light of the actual interconnection relationship between
11 the parties – that is, their actual situation in the marketplace – Bright House has
12 proposed to delete these provisions. As an alternative, Bright House has proposed
13 to make them mutual, that is, have them apply to Verizon as well as Bright House.
14 Verizon has refused.

15 **Q. WHAT IS VERIZON'S POSITION REGARDING ISSUE #16?**

16 A. Mr. Vasington addresses this issue at pages 12-15 of his testimony. He basically
17 argues that Verizon has to deal with a lot of different CLECs who might get into
18 financial difficulties, so Verizon needs to have *some* assurance of payment
19 language in the contract. But he makes no effort to justify the specific, and
20 oppressive, terms that Verizon is proposing.

21 **Q. WHAT ARE BRIGHT HOUSE'S SPECIFIC CONCERNS WITH**
22 **VERIZON'S "ASSURANCE OF PAYMENT" LANGUAGE?**

1 A. As I noted in my direct testimony, Bright House's key concerns are that Verizon
2 might invoke the "assurance of payment" provisions without an appropriate and
3 objective justification, and that it might use the draconian terms of its proposed
4 provision to cut off the provision of service – potentially disrupting the telephone
5 service of hundreds of thousands of Florida consumers – because of a dispute
6 about whether any "assurance of payment" was actually needed. In this regard, it
7 is significant that, even though Verizon pays Bright House very substantial sums
8 under their ICA, Verizon refused to make the assurance of payment provision
9 mutual. That seems to me to be a strong indication that even Verizon recognizes
10 that its proposed language is too oppressive.

11 **Q. ARE THE PARTIES CONTINUING TO DISCUSS THIS ISSUE?**

12 A. I am informed that even though the issue has not yet been resolved, discussions
13 regarding it are ongoing.

14 **Q. IF THE PARTIES ARE UNABLE TO RESOLVE THIS ISSUE, WHAT**
15 **SHOULD THE COMMISSION DO?**

16 A. As stated in my direct testimony, Bright House's proposal would be to delete this
17 provision entirely. If the Commission is not so inclined, then at a minimum
18 Verizon's language should be modified to require that Verizon may not require
19 any assurance of payment unless reasonable and objective information, such as a
20 failure by Bright House to pay undisputed portions of its bills on time for two or
21 three consecutive months, justifies doing so. In addition, the Commission should
22 strike proposed General Terms and Conditions Section 6.8, which is the provision

1 that permits Verizon to simply stop providing services if it demands assurances of
2 payment and they are not immediately forthcoming. That provision is an
3 invitation to abuse, and the Commission should not tolerate it.

4 ***Issue 20 (Network Reconciliation Costs)***

5 **Issue #20: (a) What obligations, if any, does Verizon have to reconcile**
6 **its network architecture with Bright House's?**

7 **(b) What obligations, if any, does Bright House have to**
8 **reconcile its network architecture with Verizon's?**

9 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #20?**

10 A. Verizon proposes in Section 42 of the General Terms and Conditions, that
11 Verizon retains the right to modify and upgrade its network over time. This is a
12 reasonable provision. But Verizon then demands (unreasonably) that no matter
13 what Verizon does to its network, or why, Bright House is completely responsible
14 for absorbing any costs Verizon's actions might impose on Bright House. Bright
15 House recommended that the language either be deleted, or be made mutual.

16 To be very clear, while Bright House proposed originally in its arbitration petition
17 that the entirety of Section 42 be made mutual, as matters have evolved, Bright
18 House's specific concern is not that Verizon be required, as a general matter, to
19 modify its network to accommodate Bright House. Rather, Bright House's
20 specific concern is that Bright House not be automatically required to absorb any
21 and all costs that might arise as a result of a unilateral Verizon decision to modify
22 its network. In the abstract, sometimes Verizon can reasonably expect Bright
23 House to absorb those costs, and sometimes it cannot. Bright House's current

1 proposal, therefore, is that the last sentence of Verizon's proposed Section 42 –
2 the sentence that states that Bright House will bear all costs occasioned by any
3 Verizon network changes – be deleted. The point of this proposed change is to
4 simply leave until another day the question of what cost responsibility, if any,
5 arises when Verizon modifies its network. If nothing else, the Commission
6 should adopt this minimal change to avoid potential unfairness to Bright House in
7 the future.

8 **Q. WHAT IS VERIZON'S POSITION WITH REGARD TO ISSUE #20?**

9 A. Mr. Vasington addresses Issue #20 at pages 16-17 of his testimony. Mr.
10 Vasington only addresses Bright House's proposal to make the provisions of
11 Section 42 mutual. I do not believe his objections are well-founded, but as they
12 relate to Issue #20, they have become moot.

13 **Q. DO YOU HAVE ANY COMMENTS ABOUT MR. VASINGTON'S**
14 **TESTIMONY ON THIS POINT?**

15 A. Yes. On both page 16 (at lines 22-24 and footnote 6) and on page 17 (at lines 9-
16 11), Mr. Vasington asserts that CLECs are not entitled to "superior"
17 interconnection from an ILEC like Verizon, that is, that a CLEC cannot demand
18 interconnection of a higher quality than Verizon provides to itself. In support of
19 that contention he cites an 8th Circuit case indicating that language in Section
20 251(c) stating that interconnection and access to network elements shall be "at
21 least equal in quality" does not authorize the *FCC* to require "superior"
22 interconnection. I would simply note that, for the reasons I have described in my

1 direct testimony and elsewhere here, Section 251(d)(3), Section 252(e)(3), Section
2 261(b), and Section 261(c) of the Act all authorize *this Commission* to interpret
3 the “just and reasonable” standard in Sections 251(c) to require that the ILEC do
4 more than sit on its hands when a CLEC requests interconnection. In other words,
5 it appears that Mr. Vasington is taking a specific court ruling relating to the scope
6 of the *rules* that the *FCC* can establish under Sections 251 and 252 of the Act,
7 and broadening it, with no policy (or, as far as I can tell, even legal) justification
8 to the quite different question of what *contract terms and conditions* that *a state*
9 *regulator, such as this Commission*, can impose in the course of an arbitration.

10 I expect that Bright House’s lawyers will have more to say about this point in the
11 briefing in this case.

12 ***Issue 22(a) (Use Of Operations & Support System)***

13 **Issue #22: (a) Under what circumstances, if any, may Bright House**
14 **use Verizon’s Operations Support Systems for purposes other**
15 **than the provision of telecommunications services to its**
16 **customers?**

17 **Q. WHAT IS THE STATUS OF THE DISPUTE UNDERLYING ISSUE**
18 **#22(a)?**

19 **A.** As noted in my direct testimony, the core underlying issue here relates to the fact
20 that Bright House does not serve end user customers directly but, instead,
21 provides wholesale telephone exchange services to its cable affiliate, BHN, which
22 then uses those services to provide an unregulated interconnected VoIP service to

1 end users. In his direct testimony, however, Mr. Munsell states (at page 17, line
2 18, through page 18, line 2):

3 If Bright House has legitimate concerns about its ability to
4 continue providing service under this language, then Verizon can
5 try to address them. In particular, Verizon has no objection to
6 Bright House continuing to use Verizon's OSS to place orders for
7 voice service for customers of Bright House Cable, just as it
8 always has under the existing ICA. Verizon is not interested in
9 interfering with service to those VoIP customers. If that indeed is
10 Bright House's concern (and it is difficult to tell because Bright
11 House hasn't explained its position), Verizon would be willing to
12 accommodate it by excepting this traffic from any prohibitions
13 under § 8.4.2 of the Additional Services Attachment.

14 While the parties have not yet finalized language to implement this Verizon
15 position statement, this dispute seems, in practical terms, to be resolved.

16 ***Issue 22(b) (Volume Of Orders Using OSS)***

17 **Issue #22: (b) What constraints, if any, should the ICA place on**
18 **Verizon's ability to modify its OSS?**

19 **Q. WHAT IS THE DISPUTE UNDERLYING ISSUE #22(b)?**

20 A. As I noted in my direct testimony, Bright House was concerned with three issues
21 under this heading: potentially requiring Verizon to provide electronic OSS
22 ordering for everything under the ICA; ensuring that Bright House receive
23 commercially reasonable advance notice of changes to Verizon's OSS; and
24 ensuring that Verizon not be able to use purported "volume" limitations on use of
25 its OSS to stifle competition.

26 At this time, I am advised that Bright House is withdrawing its proposals with
27 regard to the first two issues. After a careful review, it has determined that the

1 services that it actually uses or is likely to use appear to be available via Verizon's
2 OSS, and has determined that its ability to participate with Verizon as part of its
3 "change management" process should adequately protect its interest in notice of
4 impending changes.

5 **Q. WHAT IS VERIZON'S POSITION ON THE REMAINING ISSUE?**

6 A. Mr. Munsell addresses all of these issues on pages 18-22 of his testimony. As far
7 as I can tell, his only discussion of the problem of unreasonable restrictions on the
8 volume of permissible orders occurs on page 20. There he states:

9 Bright House would modify § 8.8.2 to remove any obligation it has
10 to avoid using OSS in such a manner that would exceed the
11 system's capacity or capability - effectively substituting Bright
12 House's judgment of what is "commercially reasonable" for
13 Verizon's judgment of how best to operate its own system in the
14 overall interest of all stakeholders, not just any particular user.

15 This ignores Bright House's real concern and, indeed, Bright House's proposed
16 language.⁵¹

17 **Q. WHAT IS BRIGHT HOUSE'S REAL CONCERN HERE?**

18 A. As I explained in my direct, Section 8.8.2 of the Additional Services Attachment
19 could be read to give Verizon an unconstrained right to impose limitations on how
20 many orders Bright House can submit, via the OSS, during any given day, week,
21 etc. In order to eliminate the obvious possibility that language creates for

⁵¹ I note that in his discussion of these issues, Mr. Munsell also tries to promote the idea that Bright House always has to accept Verizon's network, systems, etc., in an "as is" condition. As I have discussed above, for a variety of reasons this is simply not true.

1 competitive abuse, Bright House suggested that any volume limitations be
2 “commercially reasonable.”

3 **Q. DOES THAT LIMITATION GIVE BRIGHT HOUSE THE UNILATERAL**
4 **RIGHT TO DECIDE WHAT IS AND IS NOT “COMMERCIALY**
5 **REASONABLE”?**

6 A. I am not a lawyer, but that is not how I understand Bright House’s proposed
7 language. Bright House’s language simply imposes a general standard on
8 Verizon’s conduct. If Verizon and Bright House disagree about whether
9 Verizon’s conduct meets that standard, they will presumably discuss it, and, if
10 they cannot agree, they will bring the matter to the Commission for resolution.
11 Including the “commercially reasonable” language gives the Commission a
12 standard to apply in deciding whether Verizon’s conduct was appropriate.

13 **Q. WHAT SHOULD THE COMMISSION DO WITH REGARD TO THIS**
14 **ISSUE?**

15 A. The Commission should adopt Bright House’s proposed modification to Section
16 8.8.2 of the Additional Services Attachment.

17 ***Issue 28 (Types Of Traffic On Fiber Meets)***

18 **Issue #28: What types of traffic may be exchanged over a fiber meet, and**
19 **what terms should govern the exchange of that traffic?**

20 **Q. WHAT IS THE STATUS OF THE DISPUTE UNDERLYING ISSUE #28?**

1 A. This issue relates to Verizon's attempt to put restrictions on the "types" of traffic
2 that may be exchanged over a fiber meet arrangement. I discuss fiber meet
3 arrangements in my direct testimony.⁵² Also, I note that the parties have agreed in
4 principle how to handle the process for requesting, negotiating, and establishing a
5 fiber meet (Issue #26) and some proposed Verizon restrictions on the possible
6 locations of fiber meets (Issue #27). So Issue #28 is the only open issue regarding
7 fiber meets that is still unresolved.

8 **Q. WHAT IS THE STATUS OF THE PARTIES' DISAGREEMENT**
9 **REGARDING THE USE OF FIBER MEET POINTS?**

10 A. In section 3.1.3 of the Interconnection Attachment, Verizon proposes a variety of
11 oppressive restrictions on the types of traffic that may be exchanged using a fiber
12 meet point. None of these restrictions should be permitted. Verizon essentially
13 concedes this point in its direct testimony.

14 **Q. WHAT SUPPORT DO YOU HAVE THAT SHOWS THAT VERIZON**
15 **ESSENTIALLY CONCEDES THIS POINT?**

16 A. The only Verizon witness to address this issue is Mr. D'Amico, who discusses it
17 on pages 5-8 of his testimony. He raises only a single objection to Bright House's
18 proposal – the idea that fiber meet points might be used to exchange "special
19 access" traffic. By this he means, as I understand it, that unswitched, point-to-
20 point data communications (of the type often carried on a "special access" circuit)
21 have technical and billing characteristics that make it impractical to handle on a

⁵² See, e.g., Gates Direct at 82-91.

1 fiber meet arrangement. Whatever the merits of Mr. D'Amico's concerns, the
2 fact is that Bright House is not seeking to use fiber meets for the purpose of
3 provisioning end user point-to-point data circuits. So that should resolve
4 Verizon's objection.

5 That said, I would emphasize that fiber meet arrangements are entirely
6 appropriate for handling traffic that might be carried on a special access *facility*.
7 For example, Bright House is today buying special access *facilities* from
8 Verizon's tandem switch to Bright House's collocations at two Verizon end
9 offices. But what is being carried on those *facilities* is simple switched exchange
10 access traffic. There is no reason at all that a fiber meet arrangement could not be
11 used for switched access traffic.

12 To resolve this concern, Bright House would agree that its proposed language
13 should be modified to state that a fiber meet arrangement may be used to carry
14 "any lawful *switched* traffic that they may lawfully exchange." I believe that this
15 minor change -- which is what Bright House intended all along -- will fully address
16 Verizon's only specific concern with Bright House's proposal.

1 ***Issue 29 (Separate Trunk Groups)***

2 **Issue #29: To what extent, if any, should parties be required to establish**
3 **separate trunk groups for different types of traffic?**

4 **Q. WHAT IS THE CURRENT STATUS OF THE DISPUTE REGARDING**
5 **ISSUE #29?**

6 A. As I explained in my direct testimony, in the telecommunications industry
7 generally, sometimes carriers find it convenient to isolate traffic that has
8 particular routing or billing characteristics onto separate trunk groups. This traffic
9 will be carried on the same physical facilities as other traffic, but will be
10 electronically separated to make it easier to route it properly, or apply special
11 billing requirements to it. In Issue #29, Bright House is not proposing to impose
12 any particular separate trunking arrangements on itself or Verizon. Instead, it is
13 proposing to require discussions, in good faith, as to whether separate trunking
14 would be appropriate for any particular type of traffic. If those discussions do not
15 result in agreement, then the parties could bring their dispute to the Commission
16 for resolution.

17 **Q. DIDN'T BRIGHT HOUSE ORIGINALLY ASK VERIZON TO PLACE**
18 **ALL TRANSIT TRAFFIC ON SEPARATE TRUNK GROUPS?**

19 A. Yes. Bright House did originally propose a flat requirement that Verizon
20 establish separate trunking for so-called "transit traffic" inbound from Verizon to
21 Bright House. However, in discussions between the parties, Bright House agreed
22 to withdraw that specific proposal. Its reasoning is that if the general obligation
23 to discuss separate trunking is established, it can decide later whether separate

1 trunking for inbound transit traffic from Verizon is required and attempt to
2 resolve the matter with Verizon.

3 **Q. WHAT IS VERIZON'S POSITION WITH RESPECT TO ISSUE #29?**

4 A. Verizon addresses this issue through the testimony of Mr. D'Amico at pages 8-12.
5 Mr. D'Amico specifically objects to the proposal (now withdrawn, as just
6 discussed) that Verizon must establish separate trunks for inbound transit traffic.
7 Mr. D'Amico's comments on that issue are moot and I will not discuss them,
8 beyond some observations in a footnote.⁵³

9 However, Mr. D'Amico specifically objects even to Bright House's proposal to
10 require the parties to discuss separate trunking arrangements. He states:⁵⁴

11 The agreement should not establish a process that would enable
12 Bright House to bring a dispute to the Commission every time it
13 wants Verizon to create separate trunk groups for another traffic
14 type. The better approach is for any additional, separate trunks
15 groups to be established by mutual agreement, as Verizon has
16 proposed.

⁵³ I should note that on page 10, lines 11-15 of his testimony, Mr. D'Amico makes the claim that since Verizon has apparently not made separate trunking arrangements for any other carrier in the past, meeting Bright House's request "would discriminate in favor of Bright House." As I have explained elsewhere in this testimony, all such claims are completely wrong. If it is "just and reasonable" to require Verizon to establish (or, under Bright House's current proposal, to negotiate with respect to establishing) separate trunks, then Verizon may and should be required to do so. Once that obligation is contained in the new Verizon-Bright House ICA to be established in this proceeding, it would be available to any other carrier that wants to "adopt" it, so there would be no discrimination. Mr. D'Amico also claims that Verizon "has no legal obligation" to arrange traffic onto separate trunk groups. D'Amico Direct at page 10, line 12. But the basic point of this proceeding is to establish what constitutes "just and reasonable" interconnection and traffic exchange arrangements between Verizon and Bright House. That is, as I have explained elsewhere, this Commission is fully empowered to direct Verizon to establish separate trunking, etc., under the "just and reasonable" standard. Once the Commission does so, Verizon will indeed face a "legal obligation" to do so.

⁵⁴ D'Amico Direct, page 12, lines 1-6.

1 If find this comment remarkable for the unreasonable and intransigent attitude it
2 displays. First, Bright House has not said that it would bring a dispute to the
3 Commission “every time it wants Verizon to establish a separate trunk group.”
4 Bright House is proposing the requirement for both parties to negotiate in good
5 faith regarding either party’s suggestion that a separate trunk group might be
6 appropriate. Mr. D’Amico seems to think that it will always be Bright House
7 suggesting separate trunking and that, moreover, Bright House will be oblivious
8 to any legitimate technical or operational concerns that Verizon might raise to any
9 Bright House suggestion.

10 **Q. DO YOU BELIEVE MR. D’AMICO’S CONCERNS ARE REASONABLE?**

11 A. No. If Bright House suggests separate trunking for some class of traffic, but
12 Verizon has valid technical or operational reasons that separate trunking cannot or
13 should not be established, Bright House will have no reason to bring a dispute to
14 the Commission. On the other hand, if there are legitimate technical or other
15 disagreements between the parties about establishing separate trunking, Mr.
16 D’Amico never explains why bringing the matter to the Commission would be
17 inappropriate or burdensome.

18 **Q. ON PAGE 11, LINES 10-19, MR. D’AMICO OBJECTS TO A WORDING**
19 **CHANGE REGARDING “ACCESS TOLL CONNECTING TRUNKS”**
20 **THAT BRIGHT HOUSE HAD EARLIER PROPOSED. IS THAT**
21 **DISCUSSION STILL RELEVANT?**

1 A. No. Bright House had proposed that change (to Section 2.2.1.2 of the
2 Interconnection Attachment) as part of a much-earlier version of its effort to deal
3 with meet point billing traffic (discussed above in connection with Issue #36). As
4 Bright House has continued to modify its proposal to try to deal with Verizon's
5 stated concerns, it has withdrawn the suggested change to that portion of the
6 Interconnection Attachment. Mr. D'Amico's comments on that issue are
7 therefore moot.

8 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
9 **#29?**

10 A. The Commission should adopt Bright House's proposal to require the parties to
11 discuss separate trunking arrangements in good faith and to provide that in
12 situations where they cannot agree, they can bring the dispute to the Commission
13 for resolution.

1 ***Issues 38 and 39 (Transit Traffic Issues)***

2 **Issue #38: Should there be a limit on the amount and type of traffic that**
3 **Bright House can exchange with third parties when it uses**
4 **Verizon's network to transit that traffic?**

5 **Issue #39: Does Bright House remain financially responsible for traffic**
6 **that it terminates to third parties when it uses Verizon's**
7 **network to transit the traffic?**

8 **Q. WHAT IS THE CURRENT STATUS OF THE DISPUTE UNDERLYING**
9 **ISSUE #38 AND ISSUE #39?**

10 **A.** As I noted in my direct testimony, my understanding is that this dispute has been
11 almost entirely settled in principle, even though the parties have not yet settled on
12 final language. As I explained, Verizon and Bright House appear to agree that
13 Bright House may use Verizon's network (essentially, its tandem switch) to send
14 "transit" traffic to third parties connected to Verizon's tandem. They agree that as
15 between Verizon and Bright House, Verizon should not be liable to the third party
16 for termination charges associated with the Bright-House originated traffic. They
17 agree that if Verizon is billed for such charges, there should be a form of
18 "indemnification" procedure where Verizon would forward the bills to Bright
19 House for Bright House to deal with – that is, to pay them if appropriate, dispute
20 them where need be, etc. And the parties agree that when the traffic between
21 Bright House and some particular third party reaches some appropriate level,
22 Bright House should be required to make commercially reasonable efforts to
23 either directly connect with the third party or, at least, find some way other than
24 via Verizon's tandem to get the traffic there.

1 **Q. AS YOU UNDERSTAND IT, WHERE DO THE PARTIES STILL**
2 **DISAGREE REGARDING TRANSIT TRAFFIC?**

3 A. First, the parties do not yet agree about how to handle so-called “phantom” traffic
4 that Verizon might send to Bright House in transit from a third party carrier. This
5 is traffic that Verizon sends to Bright House but that for some reason lacks the
6 information needed to allow Bright House to identify and bill the third party
7 carrier that sent it. Verizon asserts the right to send Bright House such traffic for
8 free. Bright House asserts that if Verizon sends traffic to Bright House, and
9 Bright House cannot establish that a third party should be billed for it, then
10 Verizon should pay for the services that Bright House provided. Indeed, Bright
11 House’s view would appear to be consistent with (for example) Verizon’s
12 position under Issue #3 that unidentified or unclassified traffic be rated under the
13 terminating party’s tariff. Interestingly, Verizon also proposes that if Bright
14 House itself provides transiting service to third party carriers, that Bright House
15 be responsible for paying Verizon for the traffic it transits.⁵⁵ Bright House
16 disagrees; but it is hard to see why it is fair or reasonable for Verizon to expect
17 *Bright House* to be “on the hook” for any transit traffic Bright House might send
18 to Verizon, and for Verizon to deny any liability to third parties to which it might
19 send *Bright House’s* transited traffic, but for Verizon to be entirely “off the hook”
20 for any transit traffic that it might send to Bright House. To the contrary,
21 consistency would suggest that Verizon would be willing to step up to take

⁵⁵ See Mr. Munsell’s testimony at pages 25-28.

1 responsibility for any traffic it sends to Bright House that cannot be reliably billed
2 to someone else.

3 **Q. WHAT DOES VERIZON SAY ABOUT ISSUE #38 AND ISSUE #39?**

4 A. Mr. Munsell addresses Issue #39, at pages 37-41 of his testimony. Mr. D'Amico
5 addresses Issue #38, at pages 15-16 of his testimony. Mr. D'Amico's testimony
6 appears to predate the parties' agreement in principle to use the indemnification
7 procedure for transit disputes described above. Under that procedure, Verizon
8 would not actually pay any third-party bills it receives for transit traffic
9 originating with Bright House. Instead, it would forward such bills to Bright
10 House, which would then decide whether to pay or challenge them. Mr.
11 D'Amico's testimony on this point, therefore, should be disregarded.

12 Similarly, Mr. Munsell's discussion at pages 38-39 of his testimony seems to
13 contemplate an arrangement under which Verizon would be free to pay third party
14 bills for which Bright House is responsible, and then expect Bright House to
15 simply reimburse Verizon. The problem with that arrangement (which, as I
16 understand it, the parties have agreed not to use) is that it deprives Bright House
17 of the ability to dispute or even audit, rather than pay, an erroneous or unjustified
18 third party bill.

19 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
20 **#38 AND ISSUE #39?**

1 A. I strongly expect that this issue will be settled by the time the parties file their
2 “position statements” in early May. If the matter remains open for Commission
3 resolution, however, the Commission should direct the parties to establish an
4 indemnification arrangement for handling third parties who bill Verizon for
5 Bright House-originated traffic. The Commission should also require Verizon to
6 pay Bright House for any “phantom” traffic Verizon sends to Bright House, since
7 otherwise Bright House will not get paid for it. Finally, the Commission should
8 direct the parties to include in their ICA precisely parallel provisions that would
9 apply when a third party carrier uses Bright House to transit its traffic to Verizon.
10 That is, Verizon should be called upon to bill the third party originating the
11 traffic, not Bright House, for transit traffic Bright House delivers, *unless* Bright
12 House delivers unidentifiable traffic, in which case Bright House should have to
13 pay.

14 ***Issue 44 (Unlocking 911 Records)***

15 **Issue #44: What terms should apply to locking and unlocking E911**
16 **records?**

17 **Q. WHAT IS THE CURRENT STATE OF THE DISPUTE UNDERLYING**
18 **ISSUE #44?**

19 A. The parties have been unable to agree on the precise language to describe their
20 obligations to each other in connection with “unlocking” the 911 records
21 associated with a customer who changes from one party to another. I am
22 informed that Bright House has made a number of proposals to Verizon, but that
23 Verizon has failed to accept them.

1 **Q. WHAT IS BRIGHT HOUSE'S CURRENT PROPOSAL?**

2 A. There is a group focused on dealing with issues surrounding emergency numbers
3 and calls to emergency authorities, called NENA. Bright House has proposed that
4 the parties agree in their ICA to follow the procedures and time frames that
5 NENA has established regarding the transfer of customers between two carriers.
6 This would be superior to Verizon's original language, in that it would oblige
7 both parties to follow the objectively established requirements of the expert
8 industry group that is concerned with these issues.

9 **Q. WHAT IS VERIZON'S POSITION ON THIS ISSUE?**

10 A. In his testimony (at pages 54-56), Mr. Munsell correctly points out that Bright
11 House had erroneously suggested that a different industry group, NANC, had
12 promulgated standards for handling this issue. Bright House agrees with Mr.
13 Munsell that the relevant industry group is NENA, not NANC. However,
14 contrary to the suggestion in Mr. Munsell's testimony, Verizon's proposed
15 language (at least as I read it) does not actually require Verizon to follow the
16 NENA guidelines. Bright House has proposed that the language be amended to
17 make clear that both parties will do so.

18 **Q. WHAT IS VERIZON'S RESPONSE TO THIS BRIGHT HOUSE**
19 **PROPOSAL?**

20 A. As of the time this rebuttal testimony is being finalized, my understanding is that
21 Verizon has Bright House's latest proposal under consideration. It would not

1 surprise me at all if this issue were to be resolved between the parties in the near
2 future.

3 ***Issue 45 (Including Collocation Terms In The ICA)***

4 **Issue #45: Should Verizon's collocation terms be included in the ICA or**
5 **should the ICA refer to Verizon's collocation tariffs?**

6 **Q. PLEASE DESCRIBE THE CURRENT STATE OF THE DISPUTE**
7 **UNDERLYING ISSUE #45.**

8 A. This issue has not yet settled, but my understanding is that it is on the verge of
9 doing so. Bright House understands that Verizon's Florida collocation tariff
10 contains rates and terms that were considered and approved by the Commission in
11 an earlier proceeding.⁵⁶ Bright House therefore is less concerned than it was
12 originally with regard to the content of Verizon's tariff or its ability to unilaterally
13 impose unjust or unreasonable rates or terms.

14 **Q. HOW SHOULD THE COMMISSION RESOLVE THIS ISSUE?**

15 A. If the parties do not settle it, then the Commission should direct the parties to
16 include the material terms of Verizon's state and federal collocation tariffs
17 (including rates) within the ICA, but with a reference to the fact that the terms and
18 rates of the Florida tariff were established following a specific PSC proceeding
19 for that purpose.

⁵⁶ In Re Petition of Competitive Carriers for Commission Action to Support Local Competition in BellSouth Telecommunications, Inc.'s Service Territory, Docket No. 981834-TP-990321, Order No. PSC-04-0895-FOF-TP (FL PSC Sept. 14, 2004); *amendatory order including rate table at* Order No. PSC-04-0895A-FOF-TP (FL PSC Nov. 4, 2004).

1 ***Issue 49 (Discounted Resale Of Retail “Special Access” Offerings)***

2
3 **Issue #49: Are special access circuits that Verizon sells to end users at**
4 **retail subject to resale at a discounted rate?**

5 **Q. WHAT IS THE CURRENT STATUS OF THE DISPUTE UNDERLYING**
6 **ISSUE #49?**

7 A. As I explained in my direct testimony, federal law requires Verizon to allow
8 CLECs to purchase, at discounted rates, any telecommunications service that
9 Verizon sells “at retail.”⁵⁷ This includes so-called “special access” services sold
10 at retail, because such circuits normally are used to carry data traffic, not long
11 distance traffic, and the FCC’s rules are very clear that *only* services involved in
12 originating or terminating toll traffic are exempt from the resale obligation.

13 **Q. WHAT IS VERIZON’S POSITION ON ISSUE #49?**

14 A. Verizon relies on an FCC observation back in 1996 that retail end users only
15 “occasionally” purchase special access services to conclude that in 2010 such
16 services remain immune from the resale obligation. *See* Vasington Direct at
17 pages 26-27. The problem with Verizon’s position is that the telecommunications
18 market has changed dramatically in the last 14 years. Notably, more and more
19 business customers purchase direct connections from their premises for purposes
20 of carrying data traffic, either among their own business locations, or to an
21 Internet access provider. These are plainly “retail” services sold to non-carrier
22 customers, and are equally plainly not related to the provision of “telephone toll”
23 services and so are not exempt from resale as “exchange access” services. My
24 understanding is that Bright House will be filing discovery requests with Verizon

⁵⁷ *See*, Gates Direct at 150-153.

1 to demonstrate just how prominent retail, non-exchange access “special access”
2 services are in the market today.

3 **Q. WHAT SHOULD THE COMMISSION DO WITH RESPECT TO ISSUE**
4 **#49?**

5 A. The Commission should disregard Mr. Vasington’s outdated objections and
6 approve Bright House’s proposal on this issue.

7 **Q. DOES THIS CONCLUDE YOUR REBUTTAL TESTIMONY?**

8 A. Yes, it does.

1 **BY MR. SAVAGE:**

2 Q. Thank you. I believe we've agreed that the
3 witness, each witness will have approximately five
4 minutes to summarize their testimony. So, Mr. Gates, if
5 you could please give us a summary of your testimony,
6 I'd appreciate it.

7 A. Okay. Thank you. Good morning, Madam
8 Chairman, Commissioners. We almost avoided this
9 hearing. When we started this case a long, long time
10 ago, we had over 100 issues. I think now we're down to
11 eight. So I guess we're like unruly kids who are coming
12 to you to settle this matter.

13 In five minutes I really can't adequately
14 describe the disputes over these issues, so I won't
15 attempt to do that. You've seen the direct, you've had
16 the rebuttal, you've probably seen the deposition
17 transcripts and the prehearing statements, so I know
18 you're aware of the issues and the positions we're
19 taking. And at the end of the day, you'll have yet
20 another transcript to review.

21 But I want you to know that I think this is a
22 fascinating case. That may be a reflection on my
23 personality, I don't know, but this really is
24 fascinating in that it gives you an opportunity to
25 glimpse into one of the, one of the few areas in our

1 industry where we really do have competition, where we
2 have cable companies actually building and investing
3 their, in their own alternative network. This is very
4 different than the CLEC issues we've dealt with in the
5 past. So they're providing a real competitive
6 alternative to Floridians.

7 Now you heard Mr. O'Roark say how successful
8 Bright House has been, and they really have been. I
9 mean, it's, it's truly amazing how many customers
10 they've achieved in the last few years. But I'm here to
11 tell you that's a good thing. I mean, they shouldn't
12 apologize for their success and I hope they continue.
13 It's providing great benefits for consumers, and we've
14 seen Verizon responding to that competitive alternative,
15 which is good. So they shouldn't apologize and
16 hopefully it will continue.

17 Bright House, unlike a lot of CLECs, is a
18 family-owned company. It's a cable company. They've
19 invested to expand their facilities so that they can
20 offer telecommunications products and they're doing a
21 very good job. They are completely focused on quality
22 of service for their network and for their consumers.
23 And you may hear Verizon complaining about how Bright
24 House is, you know, building out trunks to all of these
25 end offices. Well, Bright House does do that. They

1 don't want any chance that a call will fail. They want
2 their consumers to be sure and be confident that their
3 services will be of the highest quality.

4 But today, as you heard Mr. Savage say, even
5 though they're having success in the Tampa area where I
6 live, we need a tune-up. They adopted this
7 interconnection agreement years ago before they knew
8 much about how technology was going to evolve, how their
9 market was going to evolve and how their customers were
10 going to react, so they adopted an ICA. Now we need to
11 change it a little bit now that we know how technology
12 is changing and consumer demands are changing.

13 But to be clear, Bright House is a CLEC in
14 Florida, certificated by this Commission with
15 interconnection rights. And the issues that we're going
16 to talk about today that you'll find in our testimonies
17 deal with those rights under the Act and under Florida
18 law. And they're very important so that we have
19 certainty between these two companies so that they can
20 go forward for the next three or four years and just
21 worry about competing on a retail basis and not have to
22 worry about their business relationship. But obviously
23 since both carriers are doing very well in the market,
24 whatever you decide is going to affect both carriers
25 directly.

1 Now when you evaluate these positions, I would
2 simply ask two things. First, remember that this
3 agreement is going to be in place for a few years.
4 We're not talking about just fixing things for today.
5 The industry is going to evolve, technology is going to
6 evolve, consumer demands will change. So when you
7 consider the positions, please think about which
8 position, Bright House's position or Verizon's position,
9 is going to encourage the investment, the deployment of
10 new technology in Florida. Okay? Which position is
11 going to result in new and better services at lower
12 prices, Bright House's proposal or Verizon's proposal?
13 And which of these positions on each of these issues is
14 going to create a stable business environment between
15 the parties?

16 And then secondly, and perhaps most
17 importantly, ask yourself, as I know you will, which of
18 these positions on each of the issues is going to
19 benefit consumers?

20 **CHAIRMAN ARGENZIANO:** And you are out of time.

21 **THE WITNESS:** Am I? I'm sorry.

22 **CHAIRMAN ARGENZIANO:** Sorry.

23 **THE WITNESS:** Well, that's a good place to end
24 actually because I wanted to focus on the consumer
25 aspect of this because there is a bright line

1 distinction between Bright House and Verizon as to which
2 party provides consumer benefits and which one does not.
3 Thank you.

4 **CHAIRMAN ARGENZIANO:** Thank you.

5 **MR. SAVAGE:** And just a procedural note.

6 Mr. Gates has offered direct and rebuttal testimony on
7 all of the issues that are, that remain in play.

8 Ms. Johnson has offered testimony on some, but not all
9 of them. That said, Mr. Gates is an outside consultant
10 and Ms. Johnson works for the company. So to the extent
11 that there are any questions that come up that relate
12 more to the company, we -- Ms. Johnson is available to
13 answer them, if Mr. Gates isn't in possession of that
14 knowledge. Just so that's clear. And with that,
15 Mr. Gates is available for cross.

16 **CHAIRMAN ARGENZIANO:** For cross?

17 **MR. HAGA:** Thank you, Madam Chairman.

18 **CHAIRMAN ARGENZIANO:** Yes.

19 **MR. HAGA:** Thank you, Madam Chairman.

20 **CROSS EXAMINATION**

21 **BY MR. HAGA:**

22 Q. Good morning, Mr. Gates.

23 A. Good morning.

24 Q. I know it's a little difficult to see me from
25 down there, but I'm David Haga and I'm counsel for

1 Verizon. And I thought we might start this morning by
2 going through a couple of terms just so that we're
3 speaking the same language this morning.

4 And, first of all, when I refer to Verizon,
5 I'm referring to the respondent in this case, the ILEC,
6 Verizon Florida LLC. Okay?

7 **A.** Okay.

8 **Q.** And if we need to refer to some other Verizon
9 entity specifically, we'll do that.

10 And I'm going to refer to the petitioner in
11 this case, Bright House Networks Information Services
12 (Florida), LLC, as Bright House. Okay?

13 **A.** Okay.

14 **Q.** And if we need to refer to the Bright House
15 Cable affiliate for some reason, we can call that Bright
16 House Cable. Okay?

17 **A.** Okay. And to be fair, I'm not really up on
18 all the distinctions, the legal distinctions amongst the
19 affiliates. So when I refer to Bright House, I'm
20 referring to the CLEC who is, of course, a party to the
21 case.

22 **Q.** I appreciate that. And I doubt we'll need to
23 make the distinctions. But if we do, we can, we can try
24 and do it as it comes.

25 **A.** Okay.

1 **Q.** And generally speaking, Mr. Gates, when we're
2 talking about interconnection, we're talking about two
3 local exchange carriers, an ILEC and a CLEC, that are
4 linking up to exchange traffic between their networks;
5 right?

6 **A.** Generally, yes.

7 **Q.** Okay. And in your testimony you also refer to
8 something called meet point billing. And just so we're
9 sort of oriented on that, when we're talking about meet
10 point billing, we're talking about the situation where a
11 long distance carrier is trying to get traffic to a
12 local exchange carrier, and for part of the way, at
13 least part of the way that traffic is going to go over
14 the network of another local exchange carrier; right?

15 **A.** Yes. Or perhaps traffic going from one local
16 exchange carrier to an IXC that might also go over a
17 shared facility.

18 **Q.** In other words, it could go both directions.

19 **A.** Yes.

20 **Q.** Okay. And in your testimony, at least in your
21 rebuttal testimony, you referred to meet point billing
22 under your discussion, your combined discussion of
23 Issues 24 and 36; right?

24 **A.** Yes. Well, in my direct as well. I also
25 referred to the meet point billing issues and certainly

1 the TELRIC pricing of interconnection facilities.

2 Q. Okay. I see you have your testimony there in
3 front of you.

4 A. I do.

5 Q. Okay. Great. If you could turn in your
6 direct testimony, please, to Page 68. If you could let
7 me know when you're there.

8 A. I'm there.

9 Q. Okay. And here on Page 68, again, just to
10 orient ourselves, here on Page 68 you're referring to
11 Issue 24; correct?

12 A. Yes.

13 Q. Okay. And if you could look with me on Page
14 68 at Line 5, Lines 5 through 7, there you say, "I
15 should note at the outset that I have been informed that
16 the parties have reached a settlement regarding the
17 charging that will apply to the specific current
18 configuration that Bright House uses to interconnect
19 with Verizon." Is that right?

20 A. Yes. That's what it says.

21 Q. Okay. And this is with respect again to Issue
22 24?

23 A. Yes. This is in my, my section that deals
24 with 24. Of course, as we noted in the testimony, a lot
25 of these issues are interrelated.

1 Q. Correct.

2 A. And so it's not solely related to 24 since the
3 meet point issues also relate to interconnection.

4 Q. Okay. And with respect to this statement here
5 about the settlement with respect to the specific
6 current configuration, is your understanding of that the
7 same today as it was here in this testimony?

8 A. I'm not sure I understand your point. If
9 Bright House decides to change its configuration based
10 on its right to select the point of interconnection,
11 which 251(c)(2) allows, then these issues become very,
12 very important as to prices and the terms and conditions
13 between the parties.

14 You're right that this, this statement, this
15 reference here, this one page does talk about the
16 current configuration that Bright House and Verizon
17 have. But as I've said from the get-go, I mean, it does
18 make sense to have -- it might make sense from a
19 financial perspective to have those points of
20 interconnection at those collocations at the end offices
21 instead of the tandem. So knowing what the prices would
22 be for those facilities is critical to that business
23 decision of deciding whether to change that network
24 arrangement.

25 Q. Okay. Mr. Gates, let's talk about Issue 36,

1 if we could. And with respect to Issue 36, the
2 facilities that are in dispute there are those that
3 carry the meet point traffic between Bright House's end
4 office locations in Carrollwood and North Gulf Beach and
5 the Verizon tandem; right?

6 **A.** Well, can you point me to my testimony where
7 you'd like to discuss, and then I can perhaps give you a
8 more specific response?

9 **Q.** Sure. If you could look -- and this -- maybe
10 your rebuttal testimony is the place to look. In your
11 rebuttal testimony, Page 34, and I'm looking here at, on
12 Page 34 of your rebuttal at Lines 12 through 16. And
13 there the phrase, picking up with the phrase on Line 13,
14 "the only inter-network facilities that are actually at
15 issue between the parties are the facilities that
16 Verizon is providing Bright House for purposes of
17 handling the very large amount of meet point billing
18 traffic that the parties exchange with each other."

19 **A.** Yes. That's what it says.

20 **Q.** Okay. And if you could actually flip over to
21 Page 36 of your rebuttal. If you look down at the
22 sentence that's on Line 17 and 18, there you say that,
23 "Under its current agreement with Verizon, Bright House
24 has agreed to pick up that traffic literally at the
25 switch ports on Verizon's tandem switch." Right?

1 **A.** Yes. That's correct.

2 **Q.** And when we're referring to that traffic
3 there, we're referring to, if you look at Line 16, we're
4 again referring to the meet point billing traffic;
5 correct?

6 **A.** Yes. That's correct. We're basically setting
7 up the problem, describing the current situation and
8 addressing the pricing issue.

9 **Q.** Right. And there in, in Line 17 you use the
10 word "agreed." And typically in the industry, the
11 location of the meet point is determined by agreement of
12 the parties, isn't it?

13 **A.** Well, yes. But I think that's really two
14 points. I mean, we do have these MECAB and MECOD
15 documents which define pursuant to federal tariffs, the
16 NECA tariffs, Number 4, how we manage meet point
17 arrangements. This reference to agreement is based on
18 the fact that Bright House adopted an interconnection
19 agreement. So for purposes of the current agreement,
20 they've agreed to pick up that traffic literally at the
21 tandem, and I really don't think that was a reference to
22 meet point billing agreement guidelines.

23 **Q.** Okay. Well, let me pick up on what you just
24 mentioned about the MECAB and the MECOD documents.
25 Those are sort of the industry documents or industry

1 guidelines that lay out the meet point billing rules;
2 right?

3 **A.** Yes. Yes. They help two carriers coordinate
4 their activities. They determine how to bill for those
5 jointly provided facilities, who's responsible for
6 managing and coordinating them, billing, et cetera.

7 **Q.** And those industry documents, generally
8 speaking, those industry documents provide that two
9 local exchange carriers that are jointly providing
10 access service to long distance carriers, that they'll
11 negotiate and jointly agree on a specific meet point for
12 handling meet point billing traffic, don't they?

13 **A.** Yes. Generally that's correct.

14 **Q.** Okay. Now let me talk a little bit more about
15 the parties' existing arrangement. And, Mr. Gates, you
16 would agree that under the parties' current arrangement,
17 Bright House is financially responsible for the
18 facilities from Bright House's network to the meet point
19 on Verizon's tandem.

20 **A.** Under the current arrangement?

21 **Q.** Correct.

22 **A.** Yes. They're responsible for those
23 facilities, and then, of course, they can charge the
24 IXC's for those facilities.

25 **Q.** And Bright House could get from its network to

1 the Verizon tandem in a few different ways, couldn't it?

2 **A.** Of course.

3 **Q.** Okay. Well, one example is Bright House has a
4 collocation in the same office as the Verizon tandems;
5 correct?

6 **A.** It does. It has three collocations.

7 **Q.** Okay. And one of those is there in the Tampa
8 office; correct?

9 **A.** At the tandem. Yes.

10 **Q.** Okay. And you would agree that Bright House
11 could send and receive meet point IXC traffic through
12 that collocation located there next to the tandem in the
13 Tampa office?

14 **A.** Oh, it technically could. I mean, we spend a
15 lot of time in our testimonies talking about what's
16 technically feasible. But one thing is clear, Bright
17 House has the right to determine where the point of
18 interconnection will be. So if Bright House wants to do
19 it at the end office instead of the tandem, that's its
20 right as long as it's technically feasible, which it is.

21 **Q.** Well, rather though than pick up the meet
22 point billing traffic there, Bright House has it go down
23 to the two collocations in Carrollwood and North Gulf
24 Beach; correct?

25 **A.** Yes. And, frankly, if we got the pricing

1 correct on those facilities, this probably wouldn't be
2 an issue. But given the high special access rates
3 you're charging Bright House for those facilities,
4 that's created the dispute.

5 Q. And these aren't --

6 A. I'm sorry.

7 Q. No. Please.

8 A. I just wanted to state that, I mean, clearly
9 these are interconnection facilities used to exchange,
10 exchange access, which is specifically identified in
11 251(c)(2). So, I mean, there's no dispute, I don't
12 believe, technically or legally that these are
13 interconnection facilities. So I do believe that Bright
14 House has the right to pick the point of
15 interconnection.

16 Q. Well, actually there is a dispute here.

17 A. Really? Okay.

18 Q. And that's why we're here is because there's a
19 dispute.

20 A. Well, not, not on, not on that point. I think
21 there's a dispute on how we, you know, the pricing that
22 would apply to those facilities. But hopefully there's
23 no dispute on the fact that these are interconnection
24 facilities.

25 Q. Well, obviously Verizon will have some

1 witnesses --

2 **A.** Okay.

3 **Q.** -- up on the stand to talk about that. But
4 your, your statement that these are interconnection
5 facilities, this is based on Bright House's reading of
6 the Act; correct?

7 **A.** It's based on my understanding of the Act over
8 the last 14 or 15 years, and I think it is very
9 straightforward. I've cited it in my testimony, both in
10 my direct and in my rebuttal, that it says that
11 interconnection facilities can be used for both
12 telephone exchange service and exchange access.

13 **Q.** Well, let's be clear about what we're talking
14 about here. Your, your position is, based on the
15 reading of the Act that what is currently today special
16 access facilities from the Verizon tandem to the two
17 Bright House collocations, it's your reading of the Act
18 that those should be treated as interconnection
19 facilities and that Bright House can pick where the meet
20 point would be?

21 **A.** Those facilities between the collos at the end
22 offices and the tandem are interconnection facilities.
23 Bright House does have the ability to pick the
24 interconnection point, which could be at the tandem or
25 it could be at the end office.

1 **Q.** The FCC has never said that is the correct
2 reading, has it?

3 **A.** Of course it has in many, many cases. I mean,
4 just look at the FCC's rules on interconnection. I
5 mean, the FCC defines interconnection at 51.5 as the
6 physical linking of networks. And then in the FCC's
7 rules at 51.305 it talks about technical feasibility.
8 And then in 251(c)(2) of the Act, the FCC also
9 incorporates that into its definition of what traffic
10 may go over these interconnection facilities, which is
11 both telephone exchange and exchange access traffic.
12 So, yeah, I mean, we've been in hundreds of these
13 proceedings over the last 14 years, and I think the FCC
14 has been very clear on this.

15 In fact, it's ironic that we're talking about
16 extending the POIs out into the network because, you
17 know, historically CLECs have come to you and said we
18 just want one POI per LATA. Here we've got Bright House
19 saying we want more POIs. And it's ironic that now
20 Verizon is saying, no, we want you to bring it all to
21 the tandem, and historically they've said that causes
22 tandem exhaust, et cetera, et cetera. So I think this
23 is very different from what we've seen from Verizon in
24 the past.

25 **Q.** Well, let's be clear, Mr. Gates. Again,

1 you're talking about your reading of FCC rules, but I'm
2 talking about in any FCC order has the FCC ever said
3 that the reading that Bright House is offering here, the
4 facilities arrangement that Bright House wants to do
5 here, yes, that's the way it's supposed to be done under
6 the Act, has the FCC ever said that in an order?

7 **A.** I believe it has. I, I can't point to a
8 specific order, but I think it's common knowledge in the
9 industry that a CLEC can pick the point of
10 interconnection as long as it's technically feasible.
11 And if Bright House says it wants that point of
12 interconnection at those collos at the end offices, then
13 that's where that will occur.

14 **Q.** Mr. Gates, do you have a copy of Bright
15 House's interrogatory responses to Verizon's second and
16 third set of interrogatories there?

17 **A.** I don't.

18 **MR. HAGA:** Okay. May I approach the witness?

19 **MR. SAVAGE:** Which one do you want?

20 **MR. HAGA:** It's the second and third set, and
21 we're going to be looking at question 29.

22 **MR. SAVAGE:** These are our responses to staff
23 or --

24 **MR. HAGA:** No, to us. Bright House's
25 responses to Verizon's. I believe this has already been

1 premarked as Exhibit 4C, I believe.

2 **CHAIRMAN ARGENZIANO:** Is that, is that
3 correct?

4 **MR. HAGA:** Is this 4C, Bright House's
5 responses to our second and third set of
6 interrogatories?

7 **MS. BROOKS:** On the staff exhibit, on the
8 exhibit list?

9 **CHAIRMAN ARGENZIANO:** Correct. Okay. We got
10 the nod. It's correct.

11 **MS. BROOKS:** Yes.

12 **CHAIRMAN ARGENZIANO:** Thank you.

13 **MR. HAGA:** Thank you.

14 **BY MR. HAGA:**

15 **Q.** And, Mr. Gates, this is, this is Interrogatory
16 29 and that's -- and in this question Verizon is asking,
17 "Has the FCC ruled that transport facilities a CLEC buys
18 from an ILEC to carry third party interexchange
19 carrier's traffic to or from the CLEC's end users are
20 interconnection facilities under Section 251(c)(2)? If
21 so, please provide a complete citation to the order."
22 Do you see that question?

23 **A.** Yes, I do.

24 **Q.** And then in the response, the first paragraph
25 there basically tracks the reading you were just giving

1 of the statute, and we can read it, if necessary, but I
2 think that basically tracks what you just said.

3 **A.** Yes. I'm glad to see I was consistent with
4 that, so that's good.

5 **Q.** Well, let's talk about the consistency in the
6 second paragraph.

7 **A.** Okay.

8 **Q.** Because there at the beginning of that
9 paragraph it reads, "Bright House is not at this time
10 aware of an FCC ruling addressing the specific facility
11 arrangement"; correct?

12 **A.** Yes. That's what it says. And I think that's
13 consistent with what I just said. I'm not aware of any
14 specific FCC ruling that addresses what Bright House is
15 asking for in Tampa.

16 **Q.** Well --

17 **A.** But the principles are obvious and
18 straightforward.

19 **Q.** Well, again, and that's what I'm trying to get
20 at, has the FCC ever specifically said what, what Bright
21 House is specifically proposing here, yes, that's right?
22 And I take it from this interrogatory response that, no,
23 the FCC hasn't said that and, no, you're not disputing
24 that.

25 **A.** Yeah. I was just reading the rest of this

1 answer.

2 **MR. SAVAGE:** Before you answer further, kind
3 of a procedural question. I'm happy to have my witness
4 be asked about what the FCC says and why they say it
5 because I think that's part and parcel of what's going
6 on, although it kind of merges off into the world of
7 what's legal and what's not. If this is going to be
8 permitted, I'd like to sort of know in advance that I'll
9 have the same courtesy to be able to ask their own
10 witnesses questions about what the FCC has said and what
11 the law means without getting an objection, oh, well,
12 that's a legal conclusion. If I can't have that
13 agreement now, I'm going to have to object to this line
14 of questioning and say the FCC orders speak for
15 themselves.

16 **MR. HAGA:** Well, if I could respond to that.

17 **CHAIRMAN ARGENZIANO:** Yes.

18 **MR. HAGA:** I think where this went is is he
19 aware of anything from the FCC? And I appreciate that
20 Mr. Gates is not a lawyer. And if he's not aware,
21 that's fine. But I don't think this is interpreting
22 legal issues, and I don't want Mr. Gates or any other
23 nonlawyer witness to be trying to do, interpret legal
24 issues. So if he is aware of something in his capacity
25 as someone who's been in the industry for many years and

1 deals with interconnection agreements, great. If he's
2 not aware, that's fine. But I'm not trying to ask him a
3 legal question.

4 **CHAIRMAN ARGENZIANO:** Mr. Gates, do you
5 understand he's not asking you a legal question? And
6 let me ask staff, would this present a problem if
7 Mr. Savage --

8 **MS. HELTON:** Excuse me. Madam Chairman, the
9 way I took the question was the way that Mr. -- I'm
10 sorry --

11 **MR. HAGA:** Haga.

12 **MS. HELTON:** -- Haga suggested that -- he
13 asked him if he was aware, and I think that is an
14 appropriate question whether or not the witness is an
15 attorney. I don't -- I didn't hear him ask for a legal
16 opinion.

17 **CHAIRMAN ARGENZIANO:** Okay. Did you --
18 Mr. Savage?

19 **MR. SAVAGE:** Why don't we just let it lie for
20 now and we'll take it a step at a time.

21 **CHAIRMAN ARGENZIANO:** Okay. Mr. Haga, did he
22 answer your question for you?

23 **MR. HAGA:** Well, let me just pose it the way
24 we just framed it to the witness so the record is clear.

25 **CHAIRMAN ARGENZIANO:** Okay.

1 **BY MR. HAGA:**

2 Q. Are you aware of any FCC order saying that the
3 particular facility arrangement that Bright House
4 proposes here in this arbitration is correct?

5 A. I'm not aware of any order that specifically
6 addresses what Bright House is asking for here, and that
7 doesn't surprise me given the unique circumstances in
8 Tampa and the large market share that Bright House has
9 there. But, but the Bright House position is absolutely
10 consistent with the FCC rules as we've been implementing
11 them over the last 15 years or so.

12 Q. Let me, Mr. Gates, go back to the facility
13 arrangements that are in place today. And to link up
14 the collocations that Bright House has at Carrollwood and
15 North Gulf Beach with the Verizon tandem, Bright House
16 could do that a couple of different ways. One, it could
17 put those facilities in itself; right?

18 A. Well, it has fiber facilities that go from all
19 of the, from the Bright House switching center to its
20 collos at those end offices and to the collo at the, at
21 the tandem. So it's put in really the most efficient
22 technology currently available to route that traffic not
23 only to Verizon but, you know, to its own facilities in
24 its own year.

25 Q. Right. So it, it has in some cases put in

1 facilities. It could do that here. Another option
2 would be it could, it could have a third party install
3 them or also it could have Verizon provide facilities;
4 right?

5 **A.** Well, again, I would refer the Commission to
6 the Act, 251(c)(2) says that Bright House can select the
7 point of interconnection. And when it, when it selects
8 it there at that end office, then Bright House has to
9 pick up that -- excuse me -- Verizon has to pick up that
10 traffic there.

11 Now, again, it's not like this is imposing any
12 costs on Verizon because then it just turns around and
13 imposes those costs on the IXCs instead of Bright House
14 imposing those costs on the IXCs. So really all we're
15 talking about here is who's going to charge the IXCs for
16 this traffic and for these facilities? Excuse me. It's
17 not, it's not changing really -- it's just changing who
18 sends the bill to the IXCs.

19 **Q.** Well, you'd agree with me, wouldn't you, that
20 if Bright House chooses to obtain facilities from
21 Verizon linking the two end office collocations to the
22 Verizon tandem, that Bright House would pay Verizon for
23 those?

24 **A.** If Bright House were to purchase facilities to
25 get to the tandem, yes, of course. I mean, if they were

1 to order those facilities for purposes of
2 interconnection, they would pay for them. They should
3 be priced at TELRIC rates because they are specifically
4 for interconnection.

5 Q. Well, the way the parties do it today is they
6 do purchase them from Verizon, correct, but just under
7 the access tariff; right?

8 A. Yes. Under the much higher rates.

9 Q. And, and the way the parties are operating
10 today, when Bright House purchases those facilities from
11 Verizon, Bright House bills the interexchange carriers
12 for that meet point traffic that's going to them; isn't
13 that correct?

14 A. Bills them for the traffic, is that what you
15 said, or for the facilities?

16 Q. It's billing the IXC for the traffic that's
17 going to Bright House; correct?

18 A. Yes.

19 Q. Okay. And for those facilities that are
20 linking up the two Bright House collocations at the end
21 offices with the Verizon tandem, Bright House's proposal
22 here is that Bright House would no longer be paying
23 Verizon for those facilities; correct?

24 A. They would no longer be purchasing those
25 facilities out of the special access tariff. If, if

1 they were to purchase those facilities, they would be at
2 the TELRIC rates.

3 Q. Okay. Mr. Gates, let's talk about Issue 37,
4 if we could. And Issue 37, that includes the question
5 of how to determine whether a call is local and
6 therefore subject to reciprocal compensation rates, or
7 interexchange and therefore subject to access charges;
8 right?

9 A. I think generally that's correct.

10 Q. Okay.

11 A. I think it embodies many more policy issues
12 that this Commission should be concerned with, but
13 that's generally a fair way to describe the dispute.

14 Q. And that's, that's a fair point. I'm just
15 trying to sort of orient us as we move into another
16 issue.

17 And under this Issue 37, Verizon proposes that
18 the determination of whether a call is local or whether
19 it's interexchange, that should be based on the ILEC
20 local calling area that the Commission has approved, or
21 in this case that's the Verizon local calling area;
22 right?

23 A. Yes. That's the Verizon position. Correct.

24 Q. And that's how the parties handle it today;
25 correct?

1 **A.** I believe that is correct. But it's the wrong
2 result and it just increases costs for consumers.

3 **Q.** And the reason why you say that is that Bright
4 House has a proposal to rate traffic based on the
5 originating carrier's calling area, retail local calling
6 area; right?

7 **A.** Well, the originating carrier and the smallest
8 local calling area.

9 **Q.** Okay. So -- excuse me.

10 **A.** And to be clear, if I may, what we're trying
11 to accomplish here is to match up the compensation with
12 the call.

13 For instance, if you pick up your phone and
14 make a toll call, you know it's a toll call and maybe
15 you dial one plus a number, you know it's going to go to
16 an interexchange carrier, there's usually an additional
17 charge for that. Okay? In that case, if it's a toll
18 call, the proper compensation, intercarrier compensation
19 between the two carriers is switched access.

20 If it's a local call, you just pick up your
21 phone and call your neighbor across the street. There
22 is no toll charge, it doesn't going to the IXC. There
23 is no special routing or a kit code look-up. So the
24 compensation, intercarrier compensation should be
25 reciprocal compensation, which is specific to local or

1 all calls other than toll calls.

2 So we're trying to match up the way we treat
3 these calls in the Tampa area with the way that
4 consumers are actually dialing the calls. If they dial
5 a toll call, then the intercarrier compensation be
6 switched -- should be switched access. If they dial a
7 local call, it should be reciprocal compensation. So
8 that's the goal. I mean, it gets kind of complicated in
9 the way we tried to word it, but that's the goal.

10 Q. And, Mr. Gates, you referred there to the
11 effect on compensation and the effect of Bright House's
12 proposal here to use the originating carrier approach.
13 The effect of that on compensation is that Bright House
14 is going to not pay access charges on any intraLATA
15 calls to Verizon; correct?

16 A. Can you point me to my testimony specifically
17 where we're addressing this just so that I make sure I'm
18 referring to the same language that you are?

19 Q. Well, the testimony on Issue 37 starts at Page
20 60, and you're welcome to look at any of your testimony
21 there. But I'm sort of leaping off the testimony
22 because you had mentioned the effect on compensation
23 and, and I wanted to hit that. And, and -- well, let
24 me, let me get at it.

25 A. So when you said Page 60, did you mean of my

1 direct or my rebuttal?

2 Q. I'm sorry. I was looking at your rebuttal.

3 A. Okay.

4 Q. That's where your discussion of 37 is. And,
5 again, you're welcome to look at anything there, but let
6 me try to get at it maybe a different way.

7 Bright House currently has an, an all LATA
8 local calling plan; right?

9 A. Yes. For, for Bright House any call within a
10 LATA is a local call. There is no, there is no toll.
11 And Verizon could do that too, by the way. I mean, that
12 would be a good way to fix this issue is just provide
13 local, free local calling LATA-wide, which I would
14 appreciate since I'm a Verizon customer and I hate
15 having to dial one plus and, for some calls, and others
16 are -- you know, it's just very frustrating. So it
17 would be, it would be a good change, it would be good
18 for consumers.

19 Q. Well, I appreciate the customer feedback and
20 Verizon appreciates your business.

21 But you mentioned Verizon could change their
22 --

23 **MR. SAVAGE:** My witness and I are going to
24 have to talk.

25 (Laughter.)

1 **BY MR. HAGA:**

2 **Q.** You mentioned Verizon could, could change, but
3 other CLECs could change their local calling area too;
4 right?

5 **A.** Yes, and most do. Because that's a huge value
6 proposition for consumers. I mean, if you provide a big
7 local calling area, I mean, that's a wonderful thing. I
8 mean, look at wireless. I mean, we hardly have toll
9 anymore with wireless and people love that. You know,
10 it's hard to know where those, you know, local calling
11 boundaries are. So, yeah, any -- most CLECs are
12 expanding their local calling areas. And even since the
13 '80s and '90s we've had, you know, EAS and extended
14 local calling areas. That's what consumers want. So
15 certainly Verizon could do the same thing as Bright
16 House and this dispute would go away.

17 **Q.** And today you mentioned what, what is sort of
18 some trends with, with other CLECs. But today different
19 CLECs have different retail local calling areas today;
20 right?

21 **A.** Some of them do. Sure.

22 **Q.** And some of them actually offer different
23 retail packages to their customers so that, you know,
24 different customers might have different local calling
25 areas; right?

1 **A.** Well, we're being very vague now and I hate to
2 make broad, vague statements. So I'd rather not
3 speculate about what other carriers do since we have
4 very specific proposals for these two carriers.

5 **Q.** Okay. I appreciate that.

6 **A.** I mean, generally I would agree that different
7 carriers have different plans, but I'm not sure that
8 helps us resolve this.

9 **Q.** Okay. Well, well, whatever arbi -- whatever
10 interconnection agreement we come out of this
11 arbitration with, other CLECs could adopt that; right?

12 **A.** Oh, yes. Absolutely.

13 **Q.** Well, let, let me just focus back on Bright
14 House for a minute, and let me see if I can link up
15 where I started to go a minute ago.

16 Bright House has the all LATA local calling
17 plan. So under Bright House's proposal here, that call
18 is local. And so on a local call like that, the effect
19 is Bright House would not pay access charges to Verizon
20 on that call; right?

21 **A.** Yes.

22 **Q.** Okay.

23 **A.** Nor should it since Verizon doesn't have to do
24 any of the toll call activities.

25 **Q.** Mr. Gates, let's, let's switch to yet another

1 issue. Could we move over to Issue 41? And Issue 41,
2 again, just to orient ourselves, that's followed by, in
3 parens, the words "customer transfer procedures"; right?

4 **A.** Yes.

5 **Q.** And in your -- I'm sorry.

6 **MR. SAVAGE:** Could we have a very brief
7 off-the-record discussion? It may, may help clarify
8 some of the discussion we're about to start.

9 **CHAIRMAN ARGENZIANO:** Why don't we just take a
10 five-minute break.

11 **MR. SAVAGE:** Thank you.

12 (Recess taken.)

13 (Transcript continues in sequence with Volume
14 2.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF FLORIDA)
 :
COUNTY OF LEON)

CERTIFICATE OF REPORTER

I, LINDA BOLES, RPR, CRR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 11th day of June,
2010.

Linda Boles
LINDA BOLES, RPR, CRR
FPSC Official Commission Reporter
(850) 413-6734