

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. 120234-EI

PETITION TO DETERMINE NEED FOR
POLK 2-5 COMBINED CYCLE CONVERSION,
BY TAMPA ELECTRIC COMPANY.

RECEIVED-FPSC
12 DEC 19 PM 4:11
COMMISSION
CLERK

VOLUME 2
(Pages 184 through 354)

PROCEEDINGS: NEED DETERMINATION HEARING

COMMISSIONERS PARTICIPATING: CHAIRMAN RONALD A. BRISÉ
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER ART GRAHAM
COMMISSIONER EDUARDO E. BALBIS
COMMISSIONER JULIE I. BROWN

DATE: Wednesday, December 12, 2012

TIME: Commenced 11:41 a.m.
Concluded 1:57 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, CRR, RPR
Official FPSC Reporter
(850) 413-6734

APPEARANCES: (As heretofore noted)

DOCUMENT NUMBER-DATE
08234 DEC 19 2012
FPSC-COMMISSION CLERK

I N D E X

WITNESSES

	NAME:	PAGE NO.
1		
2		
3		
4	DAVID M. LUKCIC	
5	Prefiled Direct Testimony Inserted	188
6	S. BETH YOUNG	
7	Direct Examination by Mr. Beasley	198
8	Prefiled Direct Testimony Inserted	201
9	Cross Examination by Mr. Wright	219
10	Redirect Examination by Mr. Beasley	226
11	R. JAMES ROCHA	
12	Direct Examination by Mr. Wahlen	228
13	Prefiled Direct Testimony Inserted	232
14	Cross Examination by Mr. Wright	272
15	Cross Examination by Ms. Christensen	294
16	Cross Examination by Ms. Brown	295
17	Redirect Examination by Mr. Wahlen	297
18	ALAN S. TAYLOR	
19	Direct Examination by Mr. Beasley	302
20	Prefiled Direct Testimony Inserted	305
21	Cross Examination by Mr. Wright	326
22	Redirect Examination by Mr. Beasley	339
23		
24		
25		

EXHIBITS

NUMBER :	ID.	ADMTD.
11		340
16		227
17		302
18		340
20 RFP	230	302
29 Need Study Table 13 and TECO's Answers to Staff's #38	277	302
30* (Confidential)	281	302
31* (Confidential) Executive summary of DeSoto proposal	284	302

(* **REPORTER'S NOTE:** Exhibits 30 and 31
withdrawn.)

P R O C E E D I N G S

1
2 (Transcript continues in sequence from Volume
3 1.)

4 **CHAIRMAN BRISÉ:** All right. If -- everybody
5 take about a minute to, to find a comfortable spot and
6 we'll reconvene.

7 All right. TECO, call your next witness.

8 **MR. BEASLEY:** Mr. Chairman, as staff indicated
9 earlier, our next witness, Mr. David M. Lukcic's
10 testimony has been stipulated. At this time I'd ask
11 that it be inserted into the record as though read.

12 **CHAIRMAN BRISÉ:** All right. We will enter his
13 testimony into the record as though read.

14 **MR. BEASLEY:** Thank you. And he sponsors no
15 exhibits, so we have no exhibit to worry about in that
16 case.

17 **CHAIRMAN BRISÉ:** All right. Thank you.
18
19
20
21
22
23
24
25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **PREPARED DIRECT TESTIMONY**

3 **OF**

4 **DAVID M. LUKCIC**

5
6 **Q.** Please state your name, business address, occupation and
7 employer.

8
9 **A.** My name is David M. Lukcic. My business address is 702
10 North Franklin Street, Tampa, Florida 33602. I am
11 employed by Tampa Electric Company ("Tampa Electric" or
12 "company") as Manager Environmental Capital Projects in
13 the Environmental Health and Safety Department.

14
15 **Q.** Please provide a brief outline of your educational
16 background and business experience.

17
18 **A.** I received a Bachelor's of Science degree in Electrical
19 Engineering from University of South Florida, and a
20 Masters of Business Administration from University of
21 South Florida. I am also a registered Professional
22 Engineer in the State of Florida. I worked in Energy
23 Delivery in Distribution Engineering and Standards for
24 two years overseeing the design and implementation of
25 our company's distribution design standards. In 2000, I

1 was promoted to Manager of Land and Water Programs in
2 Environmental Affairs. In 2003, I became Manager
3 Environmental Capital Projects in Environmental Health
4 and Safety. I have overseen the development, submittal,
5 and permitting of Transmission Line Siting Act ("TSLA")
6 and Power Plan Siting Act ("PPSA") projects over the
7 last 12 years. This includes the Willow Oak - Wheeler -
8 Davis and the Lake Angus - Gifford transmission siting's
9 as well as the development and submittal of both
10 integrated coal gasification combined cycle ("IGCC") and
11 natural gas combined cycle ("NGCC") units.

12
13 **Q.** What is the purpose of your direct testimony?
14

15 **A.** The purpose of my direct testimony is to demonstrate,
16 from an environmental perspective, the benefits of the
17 proposed Polk 2-5 Combined Cycle Conversion over other
18 alternatives Tampa Electric considered. I will describe
19 the environmental requirements and permits necessary to
20 comply with existing regulation. Finally, I will explain
21 why the selection of NGCC technology is the best
22 alternative to ensure the company meets or surpasses
23 environmental requirements on emissions over other
24 technologies.
25

1 Q. Are you sponsoring any sections of Tampa Electric's
2 Determination of Need Study for Electrical Power: Polk 2-
3 5 Combined Cycle Conversion ("Need Study")?
4

5 A. Yes. I sponsor sections of the Need Study entitled
6 "Environmental". Specifically, I sponsor sections III.D
7 "Environmental" and IX.C. "Environmental."
8

9 **ENVIRONMENTAL BENEFITS OF POLK 2-5**

10 Q. What are the environmental benefits of NGCC generation
11 versus simple cycle combustion turbine ("CT") generation?
12

13 A. The conversion of the existing CTs to an NGCC unit is
14 designed to take advantage of the waste heat from
15 operation of the CTs that would otherwise be vented into
16 the atmosphere. This waste heat is a valuable resource
17 that can be used to generate up to 352 MW of electric
18 power without any additional fuel input. The addition of
19 heat recovery will make the efficiency of these
20 generating units to increase by approximately 37 percent.
21 The improvement in power generating efficiency results in
22 a direct reduction in the emission rate for all
23 pollutants on a pound per MWH basis and will also reduce
24 CO₂, NO_x, and SO_x emission rates by approximately 37
25 percent.

1 The project will also include the installation of
2 Selective Catalytic Reduction ("SCRs") equipment in each
3 heat recovery steam generator ("HRSG") to reduce NO_x
4 emissions. The SCRs in combination with cycle
5 efficiency improvements will provide an 86 percent
6 reduction in the NO_x emission rate.
7

8 **Q.** Are there any other environmental benefits specific to
9 the Polk 2-5 conversion project?
10

11 **A.** Yes, the Polk Power Station site is already sited and
12 zoned for power generation. This project takes advantage
13 of significant existing infrastructure. The Polk Power
14 Station site will also take advantage of an existing
15 Reclaimed Water Supply Agreement with the City of
16 Lakeland and Polk County that will provide for a majority
17 of the water needed for the expansion. The project will
18 utilize reclaimed water for the makeup to the cooling
19 reservoir. Lakeland's Water Treatment Facility currently
20 discharges its reclaimed water into the Alafia River
21 which flows into Tampa Bay. Polk Power Station is taking
22 this water from Lakeland and treating it removing any
23 nutrients before discharging into Little Pane Creek which
24 aids in improving the water quality in Tampa Bay. Using
25 the treated water will minimize additional consumptive

1 use withdrawals to the greatest extent possible and will
2 assist in lessening the amount of nutrients flowing into
3 Tampa Bay.
4

5 **ENVIRONMENTAL APPROVALS AND REQUIREMENTS**

6 **Q.** What type of permits will be required for Polk 2-5?
7

8 **A.** Polk 2-5 will require federal, state, and regional
9 environmental approvals and permits. The principal
10 approval is Certification under Florida's Electrical
11 PPSA. This will include a comprehensive review of all
12 environmental aspects of Polk 2-5, coordinated through
13 the Florida Department of Environmental Protection
14 ("FDEP") and will involve all state and regional agencies
15 with environmental responsibility and those potentially
16 affected by Polk 2-5.
17

18 **Q.** Please summarize the major requirements for the
19 environmental approvals for Polk 2-5.
20

21 **A.** The environmental approvals required for the Polk 2-5
22 conversion will require the assembly of technical
23 information on the physical equipment and operational
24 parameters in addition to the environmental aspects of
25 the future operations. The environmental regulatory

1 agencies will evaluate the environmental impacts and/or
2 improvements of the project against historical operations
3 of the plant and alternate generation technologies.
4 Based on this evaluation they will make a determination
5 whether any operational restrictions are needed or if any
6 additional pollution control equipment is needed for the
7 Polk 2-5 conversion.
8

9 **Q.** What is the schedule for filing the required
10 environmental permits?
11

12 **A.** We expect to file the Site Certification Application with
13 the FDEP in September 2012.
14

15 **Q.** What general features of the Polk Power Station site
16 serve to meet existing or potential environmental
17 requirements?
18

19 **A.** The Polk Power Station site was selected because of the
20 advantages of using the existing site and infrastructure
21 which helps minimize environmental impacts. The Polk
22 Power Station site includes sufficient land area, which
23 has been previously certified in accordance with the
24 PPSA. In addition, Polk Power Station has secured
25 additional consumptive water from Reclaimed Water Use

1 Agreements with both the City of Lakeland and Polk
2 County. These agreements will not only minimize
3 additional groundwater withdrawals but will also remove
4 nutrients from the reclaimed water before it is used for
5 cooling water purposes and then returned to the
6 environment.

7
8 **Q.** Will the proposed project comply with all local, state
9 and federal environmental standards and requirements?

10
11 **A.** Yes, it will.

12
13 **COMPLIANCE STRATEGY**

14 **Q.** Will the emission rates of mercury from Polk 2-5 meet or
15 be lower than regulatory standards?

16
17 **A.** The recently promulgated Mercury and Air Toxics Standards
18 for mercury and other hazardous air pollutants do not
19 apply to natural gas-fired units and there are no other
20 mercury emission rate standards applicable to Polk 2-5.
21 Mercury emissions from natural gas units are de minimis.

22
23 **Q.** What are the Mercury and Air Toxics ("MACT") standards
24 for Electric Generating Units and how will they influence
25 or impact Polk 2-5?

1 **A.** The MACT standards for Electric Generating Units are not
2 applicable to natural gas units including Polk 2-5.

3
4 **Q.** How do the emissions of Polk 2-5 compare to those from
5 units using coal generation technologies?

6
7 **A.** The emissions from Polk 2-5 are substantially lower than
8 units using coal generation technologies. In fact,
9 compared to super critical coal technology, NO_x SO₂, CO₂,
10 emissions are lower by 90, 99, and 42 percent
11 respectively, and Mercury levels are 99.9 percent lower
12 utilizing the proposed combined cycle technology.

13
14 **Q.** How do the air emission rates for Polk 2-5 compare with
15 recently proposed NGCC generation projects such as
16 Florida Power & Light's ("FP&L") modernization of Port
17 Everglades Plant?

18
19 **A.** Polk 2-5 will have similar emission rates to recently
20 proposed NGCC projects such as FP&L's modernization of
21 Port Everglades. This is demonstrated by a comparison of
22 the most recently proposed projects in the state of
23 Florida based on permit applications and proposed data.

24
25 **Q.** How will the emission rates proposed for Polk 2-5 affect

1 air quality?

2

3 **A.** The emission rates will only minimally affect Florida's
4 air quality. This owes largely to the fact that the bulk
5 of the incremental generation will come from waste heat
6 from natural gas combustion that is already occurring.
7 Polk County and the entire air shed or geographical area
8 associated with Polk 2-5 are classified as in attainment
9 with all National Ambient Air Quality Standards. The
10 emissions as a result of Polk 2-5 are not expected to
11 change the attainment status of the area.

12

13 **OTHER ENVIRONMENTAL CONSIDERATIONS**

14 **Q.** Are there any environmental or permitting requirements
15 associated with the proposed transmission line required
16 for the Polk 2-5 project?

17

18 **A.** Yes. The associated transmission facilities will be
19 permitted through the FDEP Site Certification process.
20 The company does not anticipate any problems obtaining
21 the necessary permitting as a majority of the route will
22 be in either Tampa Electric owned land/easements or in
23 road right-of-way. The preferred route also minimizes
24 any environmental impact and is further described in the
25 direct testimony of Tampa Electric witness S. Beth Young.

1 **Q.** Please summarize your direct testimony.

2

3 **A.** Polk 2-5 will utilize a proven technology that will not
4 only meet, but will likely surpass existing environmental
5 regulatory requirements. The selection of NGCC
6 technology over other alternatives will minimize
7 emissions while simultaneously providing cost-effective
8 and reliable energy. This project takes advantage of the
9 waste heat which will result in additional generation
10 with minimal fuel addition therefore reducing emissions
11 on a pound per MWH basis. The project will also take
12 advantage of the existing site infrastructure and the
13 water resources that exist at the current facility.

14

15 **Q.** Does this conclude your direct testimony?

16

17 **A.** Yes, it does.

18

19

20

21

22

23

24

25

1 **MR. BEASLEY:** And our next witness, we call
2 Ms. S. Beth Young.

3 Whereupon,

4 **S. BETH YOUNG**

5 was called as a witness on behalf of Tampa Electric
6 Company and, having been duly sworn, testified as
7 follows:

8 **DIRECT EXAMINATION**

9 **Q** Ms. Young, you were in the room earlier and
10 were sworn in; right?

11 **A** Yes, I was.

12 **Q** Thank you. Could you please state your name,
13 your business address, your occupation, and your
14 employer?

15 **A** Okay. My name is Beth Young. My business
16 address is 702 North Franklin Street, Tampa, Florida.
17 And I work for Tampa Electric and I'm the director of
18 our Energy Control Center.

19 **Q** Ms. Young, did you prepare and submit in this
20 proceeding prepared direct testimony of S. Beth Young
21 filed on September 12th, 2012?

22 **A** Yes, I did.

23 **Q** Do you have any changes to your testimony?

24 **A** No, I do not.

25 **Q** If I were to ask you the questions in your

1 direct testimony, would your answers be the same?

2 A Yes, they would.

3 MR. BEASLEY: I would ask that Ms. Young's
4 testimony be inserted into the record as though read.

5 CHAIRMAN BRISÉ: At this time we will enter
6 Ms. S. Beth Young's testimony into the record as though
7 read.

8 MR. BEASLEY: Thank you.

9 BY MR. BEASLEY:

10 Q Did you also prepare an exhibit identified as
11 SBY-1 that accompanied your prepared direct testimony?

12 A Yes, I did.

13 Q Do you have any changes to make to that
14 exhibit?

15 A Yes, I do. In the process of doing, answering
16 the interrogatories, determined that we had
17 inadvertently left out one of the circuits, the re-rate
18 on circuit 230605. And the dollars had been included
19 but it had not been listed as a line item, and that was
20 corrected on the second set of interrogatories, question
21 number 44.

22 MR. BEASLEY: Thank you. I would ask that
23 Ms. Young's exhibit be marked hearing Exhibit 16 as set
24 forth in the exhibit list.

25 CHAIRMAN BRISÉ: All right. Thank you. We

1 will do that.

2 **MR. BEASLEY:** Thank you.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

PREPARED DIRECT TESTIMONY

OF

S. BETH YOUNG

1
2
3
4
5
6 **Q.** Please state your name, business address, occupation and
7 employer.

8
9 **A.** My name is S. Beth Young. My business address is 702 N.
10 Franklin Street, Tampa, Florida 33602. I am employed by
11 Tampa Electric Company ("Tampa Electric" or "company") as
12 Director, Energy Control Center.

13
14 **Q.** Please provide a brief outline of your educational
15 background and business experience.

16
17 **A.** I received my Bachelor's of Science in Electrical
18 Engineering degree from the University of South Florida
19 in 1983. I am a registered professional engineer in the
20 state of Florida. I joined Tampa Electric as a co-
21 operative education student in 1980 and became a full
22 time employee as an associate engineer in 1983. From
23 1983 through 2007, I held various positions in Tampa
24 Electric's Electric Delivery Department including System
25 Operations, Substation Engineering, Lighting and

1 Standards. In 2007, I was promoted to Director,
2 Substation Services and Project Management. In this
3 position, I was responsible for the construction and
4 maintenance of the substation facilities of Tampa
5 Electric and the management of large Transmission and
6 Distribution ("T&D") projects within Tampa Electric. In
7 August 2009, I added Meter Services responsibilities
8 which included meter specifications, testing, meter
9 reading, and field credit. In February 2010, I was named
10 Director, Energy Control Center. My present
11 responsibilities include the areas of long-term
12 transmission and distribution infrastructure planning
13 day-to-day distribution outage restoration, transmission
14 and distribution system operations, system dispatch
15 operations, wholesale energy accounting and billing,
16 transmission billing, system reliability tracking and
17 reporting, construction and maintenance of Tampa
18 Electric's lighting facilities and Energy Delivery
19 emergency response and planning.
20

21 **Q.** What is the purpose of your direct testimony?
22

23 **A.** The purpose of my direct testimony is to describe how
24 Tampa Electric determined the most cost-effective
25 transmission plan for the interconnection and integration

1 of Tampa Electric's proposed Polk 2-5 Combined Cycle
2 ("Polk 2-5") Conversion project that meets both North
3 American Electric Reliability Council ("NERC") and
4 Florida Reliability Coordinating Council ("FRCC")
5 reliability standards. I will discuss the overall
6 transmission evaluation process Tampa Electric conducted
7 including the stability and steady state power flow study
8 results used in determining the most cost-effective
9 manner to interconnect and integrate Polk 2-5 into the
10 transmission system. Finally, I will discuss the
11 estimated costs and construction schedule of the
12 transmission system facilities required to interconnect
13 and integrate Polk 2-5 into Tampa Electric's system.

14
15 **Q.** Have you prepared an exhibit to support your direct
16 testimony?

17
18 **A.** Yes. I sponsor Exhibit No. ____ (SBY-1) that consists of
19 four documents:

20
21 Document No. 1 Polk 2-5 CC Interconnection Diagram

22 Document No. 2 Polk 2-5 Integration Diagram

23 Document No. 3 Summary of Required Facilities,
24 Ratings and Cost
25

1 Document No. 4 FRCC letter confirming the
2 reliability of the interconnection
3 and integration plan
4

5 **Q.** Are you sponsoring any sections of Tampa Electric's
6 Determination of Need Study for Electrical Power: Polk 2-
7 5 Combined Cycle Conversion ("Need Study")?
8

9 **A.** Yes. I sponsor section III.A.1. entitled "Transmission
10 and Distribution" and section IX.D. entitled
11 "Transmission Facilities".
12

13 **Q.** Please describe Tampa Electric's transmission system.
14

15 **A.** Tampa Electric's transmission system consists of
16 approximately 1,300 miles of transmission lines and is
17 operated at 3 different voltage levels; 69 kV, 138 kV,
18 and 230 kV. Tampa Electric is interconnected to four
19 other balancing areas through twenty-seven tie lines.
20

21 **Q.** Please describe Tampa Electric's evaluation process that
22 results in determining the most cost-effective
23 transmission system requirements for new generation
24 resources.
25

1 **A.** Tampa Electric's process begins with evaluating the
2 proposed generating plant site location to determine its
3 proximity to existing transmission facilities. To the
4 extent there are existing transmission facilities nearby,
5 the site is then assessed to determine its capability for
6 reliably interconnecting and integrating the proposed new
7 generation into the transmission system as a firm Tampa
8 Electric network resource.

9

10 **Q.** What factors are considered when integrating the proposed
11 new generation into the transmission system?

12

13 **A.** There are numerous factors that are considered prior to
14 integration of a new generating unit into the bulk
15 electric system ("BES"). They include:

16

- 17 • The megawatt ("MW") amount of generation being added
18 at the generation site and various dispatch profiles
19 of the new generation resource relative to existing
20 generation resources serving Tampa Electric and
21 others utilities' load in the region;
- 22 • Compliance with NERC and FRCC reliability standards;
- 23 • Stability and system protection impacts;
- 24 • Impact on existing Tampa Electric or third party
25 facilities;

- 1 • Capability to upgrade existing substation or
2 transmission facilities;
- 3 • Ability to site new substation or transmission line
4 facilities including right-of-way requirements,
5 existing right-of-way capabilities, permitting
6 requirements, and expected time frame to acquire
7 right-of-way and necessary permits;
- 8 • Ability to construct the required transmission
9 facilities without having to take outages on
10 existing operating facilities during periods that
11 would result in an adverse reliability impact;
- 12 • Operating considerations such as maintenance
13 requirements of the proposed interconnection and
14 integration facilities and impacts to the ongoing
15 operation of the system;
- 16 • The timing and amount of power needed for testing
17 equipment such as pumps and motors;
- 18 • Expected in-service testing and commercial operation
19 dates for new generation, which determines the date
20 transmission interconnection and integration
21 facilities must be completed for the unit's testing;
22 and
- 23 • The initial and ongoing costs of facilities and
24 operations.

25

1 **Q.** How did Tampa Electric evaluate the impact of the Polk 2-
2 5 generation addition on the Bulk Electric System?


3
4 **A.** A Network Resource Interconnect Study ("NRIS") was used
5 to evaluate the impact of the generation addition on
6 Florida's BES. The NRIS included a review of stability
7 requirements, short circuit impacts and steady state
8 requirements in compliance with NERC and FRCC reliability
9 standards. These power flow studies were used to
10 evaluate the performance of the transmission system and
11 to determine various project alternatives that would be
12 needed to interconnect and integrate the new generation
13 into the BES.


14
15 **Q.** How were project alternatives for adding or upgrading
16 transmission facilities developed?

17
18 **A.** A Tampa Electric core team developed and reviewed
19 potential alternatives and estimated costs. This core
20 team was comprised of engineers from System Planning,
21 Environmental, Health and Safety, Substation Engineering,
22 Transmission Engineering, Telecommunications, System
23 Security and staff from Line Clearance, Real Estate,
24 Project Management, and Community Relations. As part of
25 their analysis, this team considered the issues outlined

1 previously, including ability to construct, potential
2 upgrade of existing facilities, right-of-way
3 requirements, in-service dates and operating
4 considerations. When the core team was satisfied that
5 they had developed the most cost-effective transmission
6 interconnection and integration plan that complied with
7 NERC and FRCC reliability standards, the process was
8 deemed complete.

9
10 **Q.** How is the Polk Power Station connected to the BES?

11
12 **A.** The Polk Power Station is interconnected to the BES
13 through the Polk Power Substation. 

14 
15
16
17
18
19
20 **Q.** What were the results of the stability, short circuit and
21 power flow studies that Tampa Electric performed?

22
23 **A.** The stability studies did not show any adverse impacts to
24 the BES by the addition of the Polk 2-5. The Short
25 circuit study showed that 16-230 kV circuit breakers

1 located at Polk Power, Pebbledale, Mines and Big Bend
2 Power Substations did not meet the interrupting
3 capability required due to the addition of Polk 2-5.
4

5 The results of the power flow studies determined under
6 certain dispatches an overload might occur on the
7 following facilities:

- 8 1. The 230 kV transmission line from Polk Power
9 Substation to Mines Substation,
- 10 2. The 230 kV transmission line from Pebbledale
11 Substation to FishHawk Substation,
- 12 3. The two 230 kV transmission lines from Polk Power
13 Substation to Pebbledale Substation,
- 14 4. Some additional 3rd parties' transmission facilities.
15

16 These results indicated that, under extreme conditions,
17 there might not be enough transmission capability out of
18 Polk Power Substation to transmit the entire plant's
19 capacity. After considering these potential impacts, the
20 core team set about to consider various alternatives to
21 insure continuing BES reliability.
22

23 **Q.** What projects did the core team recommend after reviewing
24 the power flow study results?
25

- 1 **A.** The core team recommended the following projects in order
2 to maintain the BES reliability:
- 3 1. Build a new 230 kV transmission switching station
4 (Aspen Substation) west of Mines Substation.
 - 5 2. Build the following 230 kV transmission lines
6 • Polk Power Substation to Mines Substation,
7 • Mines Substation to Aspen Substation,
8 • Two lines from Aspen Substation to FishHawk
9 Substation.
 - 10 3. Upgrade segments of existing 230 kV transmission
11 lines to create a 230 kV transmission line from Polk
12 Power Substation to Aspen Substation.
 - 13 4. Interconnect and rerate existing 230 kV transmission
14 line from Big Bend Power Substation to Mines
15 Substation into Aspen Substation.
 - 16 5. Upgrade 16-230 kV circuit breakers at Polk Power
17 Substation, Pebbledale Substation, Mines Substation
18 and Big Bend Power Substation.
 - 19 6. Reroute and upgrade the first Polk Power Substation
20 to Pebbledale Substation 230 kV transmission line.
 - 21 7. Rerate the second Polk Power Substation to
22 Pebbledale Substation 230 kV transmission line.
 - 23 8. Install a switched reactor at Davis Substation.
 - 24 9. Upgrade the bus for the State Road 60 North 230/69
25 kV Transformer.

1 10. Upgrade the bus and low side circuit breaker for the
2 Dale Mabry West 230/69 kV Transformer.

3
4 **DESCRIPTION OF PLANNED PROJECT**

5 **Q.** Please provide a general description of the existing
6 transmission facilities at Polk Power Station.

7
8 **A.** As I previously stated, the Polk Power Substation is
9 connected to the BES by four 230 kV transmission lines.
10 Two of these lines run from Polk Power Substation to the
11 Tampa Electric Pebbledale Substation. The third line
12 runs from Polk Power Substation to Tampa Electric's Mines
13 Substation and the fourth from Polk Power Substation to
14 Invenergy's Hardee Station.

15
16 **Q.** Please provide a general description of the transmission
17 facilities required for interconnection and integration
18 of Polk 2-5 to Tampa Electric's system.

19
20 **A.** Two new 230 kV transmission circuits, three new 230 kV
21 circuit breakers and a generator step-up transformer will
22 be required to interconnect the new generation to the
23 Polk Power Substation. As previously stated, one new
24 switching substation, four new 230 kV transmission lines
25 and upgrades to four other 230 kV transmission lines will

1 be required to integrate Polk 2-5 into the BES. In
2 addition, sixteen circuit breakers will need to be
3 upgraded, some buswork and a 69 kV circuit breaker
4 upgraded and a switched reactor added.

5
6 **Q.** Has the route for the four new 230 kV transmission lines
7 been selected?

8
9 **A.** Yes. A route study was initiated in December 2011 and
10 completed on July 27 2012. The route study identified
11 the most cost-effective corridor Tampa Electric should
12 utilize for the four new 230 kV transmission lines
13 necessary as part of the Polk 2-5 project. Tampa
14 Electric expects approval from the Florida Department of
15 Environmental Protection of the corridor in the fourth
16 quarter of 2013.

17
18 **Q.** How did Tampa Electric evaluate the transmission related
19 costs associated with the planned Polk 2-5?

20
21 **A.** An estimating team made up of members from Substation
22 Engineering, Transmission Engineering, Real Estate,
23 System Security, Telecommunications, Line Clearance,
24 Community Relations, Project Management, and
25 Environmental Health and Safety reviewed the transmission

1 interconnection and integration requirements to develop a
2 scope of work. This included the review of existing
3 drawings and site visits. Each member, along with an
4 engineering consulting firm, then estimated the costs to
5 complete their scope of work. As stated previously, the
6 final corridor for the four new 230 kV transmission lines
7 was not selected until July 27, 2012; therefore, the
8 transmission line costs were based on one of the
9 potential routes. The potential route used in the
10 evaluation was approximately 4 miles longer than the
11 route determined to be the most cost-effective in the
12 completed route study.

13
14 **Q.** What is the total cost of the transmission
15 interconnection and integration costs for Polk 2-5?

16
17 **A.** The total estimated project cost is approximately \$147.2
18 million. A summary of the facilities required and
19 associated costs is provided in Document No. 3 of my
20 exhibit. Utilizing the updated information from the
21 aforementioned route study completed on July 27, 2012,
22 project costs would decrease as compared to those used in
23 the project estimate, but these costs have not been
24 finalized.

25

1 **Q.** What is the schedule for construction of the transmission
2 facilities needed for the interconnection and integration
3 of Polk 2-5?
4

5 **A.** The Polk 2-5 interconnection/integration work is
6 scheduled to begin January 2013 and is estimated to be
7 completed by November 2016. This will allow time for
8 testing of the unit and associated NGCC equipment prior
9 to its commercial in-service date. The Polk Power
10 Substation to Aspen Substation to FishHawk Substation
11 transmission line construction will begin by October 2014
12 with an in-service date of November 2016. The remainder
13 of the work will be completed prior to November 2016.
14 This ensures that all transmission facilities will be in-
15 service prior to any full power testing of Polk 2-5.
16

17 **Q.** Has this assessment, along with the Polk 2-5
18 interconnection and integration requirements discussed
19 above, been reviewed by the FRCC?
20

21 **A.** Yes. According to the FRCC's Regional Transmission
22 Planning Process, Tampa Electric's interconnection and
23 integration plan for Polk 2-5 as discussed above was
24 provided to the FRCC for review and affirmation was given
25 that no reliability issues exist. A letter from the

1 FRCC confirming the reliability of Tampa Electric's
2 interconnection and integration plan is provided in
3 Document No. 4 of my exhibit.
4

5 **Q.** What were the FRCC conclusions about Tampa Electric's
6 Polk 2-5 transmission plan?
7

8 **A.** Based on the review and analysis conducted by the
9 Transmission Working Group, the FRCC Planning Committee
10 has determined that the proposed interconnection and
11 integration plan will be reliable and will not adversely
12 impact the reliability of the FRCC transmission system.
13

14 **TRANSMISSION RELIABILITY BENEFITS OF POLK 2-5**

15 **Q.** How will Polk 2-5 and its associated transmission
16 facilities improve Tampa Electric's transmission
17 reliability to Tampa Electric customers?
18

19 **A.** In addition to integrating the Polk 2-5 generation
20 reliably into the BES, the new transmission facilities
21 will also increase the import and export capability of
22 the Tampa Electric transmission system. This provides
23 more source options during planned and unplanned
24 generation outages. The upgrades of the existing 230 kV
25 facilities will also reduce the existing exposure to

1 multi-circuit structure outages, increasing the
2 reliability of the transmission system.

3
4 The addition of the new transmission facilities in the
5 Central Florida region of the BES will also improve the
6 reliability of that region for Tampa Electric customers
7 as well as for those in the FRCC region.

8
9 **Q.** Please summarize your direct testimony.

10
11 **A.** Tampa Electric has completed stability, short circuit and
12 power flow studies to determine the impact of the
13 interconnection and integration of Polk 2-5 to the BES.
14 The studies indicate two new 230 kV transmission
15 circuits, three new 230 kV circuit breakers and a
16 generator step-up transformer will be required to
17 interconnect the new generation to the Polk Power
18 Substation. In addition one new switching substation,
19 four new 230 kV transmission lines and upgrades to other
20 230 kV transmission lines will be required to integrate
21 Polk 2-5 into the BES. Sixteen circuit breakers, some
22 buswork and a 69 kV circuit breaker will also need to be
23 upgraded as well as the addition of a switched reactor.

24
25 These additions will reliably interconnect and integrate

1 the Polk 2-5 into the BES. In addition, Tampa Electric
2 customers will benefit by the increased import and export
3 capability, reduced exposure to multi-circuit structure
4 outages and improved reliability for the Central Florida
5 region.

6
7 **Q.** Does this conclude your direct testimony?

8
9 **A.** Yes, it does.

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 BY MR. BEASLEY:

2 Q Ms. Young, could you please summarize your
3 direct testimony?

4 A I can. Good morning, Commissioners. My
5 direct testimony addresses the transmission facilities
6 required to interconnect and integrate the Polk
7 2-5 conversion.

8 Tampa Electric performed a stability, a short
9 circuit, and a power flow study to determine the impact
10 of the Polk 2-5 on the bulk electric system, and to
11 determine what transmission facilities would need to be
12 required in order to reliably interconnect.

13 FRCC also evaluated the Polk 2-5 combined
14 cycle and the associated transmission facilities that
15 Tampa Electric put forward to ensure, and concluded that
16 it was reliable and would not adversely impact the FRCC
17 transmission system.

18 The projects required to interconnect the new
19 generation at the Polk Power Substation include two new
20 230kV lines and three new 230kV breakers. The major
21 components to integrate the -- excuse me. The major
22 components required to integrate the Polk 2-5 combined
23 cycle are one new switching substation, four new 230kV
24 lines 35 miles in length, and upgrades to four other
25 230kV lines. The total cost for the project is

1 \$147.2 million.

2 In addition to reliable operation of the Polk
3 2-5 combined cycle conversion, Tampa Electric customers
4 will benefit by the increased import and export
5 capability, reduced exposure to multi-circuit structure
6 outages, and improved reliability for the Central
7 Florida region. That concludes my summary.

8 **MR. BEASLEY:** Thank you. We tender Ms. Young
9 for questions.

10 **CHAIRMAN BRISÉ:** Thank you.

11 Mr. Wright?

12 **MR. WRIGHT:** Thank you, Mr. Chairman.

13 **CROSS EXAMINATION**

14 **BY MR. WRIGHT:**

15 **Q** Good morning, Ms. Young.

16 **A** Good morning.

17 **Q** I don't have a lot of questions for you today.
18 I'm sure you'll be happy to hear that.

19 **A** Thank you.

20 **Q** Was your role in this case pretty much limited
21 to, to the transmission analyses that are shown in your,
22 in your exhibit?

23 **A** Yes, it was.

24 **Q** Thank you. Reading your testimony, you
25 evaluated transmission costs including upgrades and

1 integration costs for the Polk project; correct?

2 A That is correct.

3 Q And it appears, from reading your testimony,
4 that, that Tampa Electric had a team that evaluated
5 various alternatives for meeting those, the transmission
6 requirements necessary to integrate the Polk project
7 into the company's system so that its power could be
8 delivered throughout the system; correct?

9 A That's correct.

10 Q It's a pretty -- it sounded like a pretty good
11 sized team; is that fair?

12 A That is correct.

13 Q About how many people were on it?

14 A I would say probably about eight, eight to
15 ten.

16 Q And did I understand your testimony to
17 indicate that, that throughout the process you
18 identified options, then identified additional options,
19 and continued to evaluate options for integrating the
20 trans -- the Polk system -- Polk project into your
21 system?

22 A Yes. The -- to start off with, the planning
23 team evaluated different options for different
24 alternatives. And then this larger team looked at those
25 alternatives on a broader scale, and then we started

1 narrowing down to the best alternative.

2 Q Okay. At some point you got to a basic
3 proposed, basic conceptual transmission plan. And then
4 was it at that point that you ran the power flow studies
5 that are referenced on page 9?

6 A We ran some basic power flow studies on the
7 alternatives we were looking at originally just to see
8 if they were viable. But the detailed power flow
9 studies were right on that final.

10 Q And then when you ran, at some point you ran
11 some power flow studies that identified some additional
12 contingencies that required some additional measures to
13 be taken in terms of constructing or configuring the
14 upgraded transmission system; correct?

15 A That is correct.

16 Q And that's -- we don't have to walk through
17 all of them, but that's what's identified, the overloads
18 are identified on page 9 of your testimony and the
19 recommended fixes are identified on pages 10 and 11 of
20 your testimony; correct?

21 A That is correct. Yes.

22 Q Okay. About how much time did your team work
23 on, on this project in, both in calendar time and person
24 hours, if, if you can help me out there?

25 A As far as calendar time, we had done some

1 preliminary looks at the end of 2011. And as far as
2 detailed study time, the detailed studies were probably
3 from January until I believe April or May.

4 Q Just ball parking it, would it be fair to say
5 that there was like, you know, one or two full-time
6 equivalent people working on this project during that
7 time period, or more than that, less?

8 A For that time period there's probably about
9 between one and two full man people doing the study.

10 Q Thank you.

11 A Uh-huh.

12 Q As part of your work with relation to the, to
13 the Polk project and this need determination proceeding,
14 did you also evaluate transmission costs for any of the
15 power supply proposals that were offered to Tampa
16 Electric in the RFP project -- process?

17 A We were asked to develop an integration cost
18 for the RFP bids.

19 Q Okay. And Mr. Taylor's exhibit shows, I think
20 it's, I think it's Table A4, although it might be A5.

21 A I believe it's A4.

22 Q Yeah. It shows the, the integration costs;
23 correct?

24 A That is correct.

25 Q And did you furnish those, those, those costs

1 to Mr. Taylor?

2 A Yes.

3 Q And then there's also Table A5, which
4 identifies the wheeling charges for the various
5 proposals; correct?

6 A Yes. I believe that's correct. Yes.

7 Q Did you furnish that information to
8 Mr. Taylor?

9 A No, I did not.

10 Q Just given your extreme knowledge regarding
11 transmission, I'm going to ask you, do you know who did
12 furnish that information to Mr. Taylor?

13 A This is public information. It's posted on
14 the OASIS.

15 Q Okay.

16 A So my assumption is he went to that location
17 or someone else within the company provided that
18 information for him.

19 Q And that would be a charge in dollars per kW
20 per month multiplied times the wattage times the years?

21 A Uh-huh. Yes.

22 Q Okay. Thank you. Did you, in the course of
23 your work relative to this process in this proceeding,
24 did you evaluate any alternative transmission
25 arrangements for getting power from any of the bidders

1 to Tampa Electric Company?

2 A I'm not sure what you mean by alternatives.

3 Q Well, Mr. Taylor assumed wheeling on FPL's
4 system. Did you consider or were you asked to evaluate
5 the possibility of building a transmission line from
6 DeSoto to an interconnection with Tampa Electric in lieu
7 of wheeling costs?

8 A No, we did not.

9 Q Thank you.

10 A I was not requested to do that.

11 Q Thanks.

12 **MR. WRIGHT:** Mr. Chairman, this does not need
13 to be marked as an exhibit, but I would like to have it
14 distributed so that everybody will have a copy in front
15 of them. It is page 49 from the company's need study.

16 **CHAIRMAN BRISÉ:** Sure.

17 **BY MR. WRIGHT:**

18 Q Have you seen this before?

19 A I believe, yes, I've glanced at it before.
20 Yes.

21 Q And generally speaking, what this shows is, is
22 five different portfolios or five different generation
23 expansion scenarios that Tampa Electric considered in
24 the course of this process; correct?

25 A Yes.

1 **Q** And the first one is the Polk conversion
2 project, Polk 2-5; correct?

3 **A** Yes.

4 **Q** And then the others are what they are so that
5 for Proposal A the scenario would be adding Proposal A
6 in 2017, then a CT in 2019, a CT in 2022, and so on;
7 correct?

8 **A** Correct.

9 **Q** Okay. I've got just a couple of questions for
10 you here. With respect to the future Tampa Electric
11 units shown in, in the different scenarios, say, for
12 example, the 2019 7FA CT that's shown in, in the Polk
13 2-5 column and the Proposal A column, did you provide
14 transmission upgrade cost information to either
15 Mr. Rocha or Mr. Taylor in connection with their
16 evaluations of those scenarios?

17 **A** I did not for these. If you -- no.

18 **Q** Okay. Thanks.

19 Would that, would that hold true across all of
20 the different proposals, Polk and then A, B, C, and D?

21 **A** We had provided integration costs for the Polk
22 2-5. And also, if you refer to our Ten-Year Site Plan,
23 for the first 7FA in 2019 there are no additional
24 transmission costs. We didn't do something further.

25 **Q** I'm sorry?

1 **A** We did not do -- we didn't provide any other
2 additional costs for these other 7FAs.

3 **MR. WRIGHT:** Thank you. Thanks. That's all
4 the questions I have. Thank you for coming.

5 **CHAIRMAN BRISÉ:** Ms. Christensen?

6 **MS. CHRISTENSEN:** No questions.

7 **CHAIRMAN BRISÉ:** Staff?

8 **MS. BROWN:** Staff has no questions at this
9 time.

10 **CHAIRMAN BRISÉ:** Okay. Commissioners?

11 All right. Redirect?

12 **MR. BEASLEY:** Very brief redirect.

13 **REDIRECT EXAMINATION**

14 **BY MR. BEASLEY:**

15 **Q** Ms. Young, with respect to getting the power
16 from the various bidders to the Tampa Electric system,
17 do you know if the output of the DeSoto power station
18 could be brought to the Tampa Electric system with the
19 current transmission system?

20 **A** Not on a firm basis under all conditions, no.

21 **Q** What would be required in order for that to
22 happen?

23 **A** In order to do it on a firm basis you would
24 have to do upgrade on two 230kV circuits on Tampa
25 Electric's system and upgrade on about ten miles of line

1 in Florida Power & Light's system.

2 Q Do you know if in addition to that any
3 wheeling charges would apply?

4 A There would also need to be wheeling charges
5 because DeSoto plant is located in FP&L's transmission.
6 And in order to wheel the power up to Tampa Electric and
7 to meet the need of our customers, we'd have to pay
8 wheeling charges to have that power wheeled through
9 Florida Power & Light's transmission system.

10 Q So your company would pay Florida Power &
11 Light wheeling charges.

12 A That is correct.

13 MR. BEASLEY: Thank you. We have no further
14 questions.

15 I'd like to move Exhibit 16, if I could.

16 CHAIRMAN BRISÉ: At this time we will move
17 Exhibit 16 into the record.

18 (Exhibit 16 admitted into the record.)

19 All right. I think that was all the exhibits
20 that were presented for this witness. Thank you very
21 much for your testimony.

22 Just so that you are aware, we're going to try
23 to work through lunch today, so we're going to just keep
24 on rolling. Okay?

25 Call your next witness.

1 **MR. WAHLEN:** Very well. Mr. Chairman, Tampa
2 Electric Company calls R. James Rocha to the stand,
3 please.
4 Whereupon,

5 **R. JAMES ROCHA**

6 was called as a witness on behalf of Tampa Electric
7 Company and, having been duly sworn, testified as
8 follows:

9 **DIRECT EXAMINATION**

10 **BY MR. WAHLEN:**

11 **Q** Mr. Rocha, were you sworn in earlier this
12 morning?

13 **A** I was.

14 **Q** Thank you. Would you please state your name,
15 your business address, occupation, and employer?

16 **A** My name is Jim Rocha. I work for Tampa
17 Electric Company at 72 North Franklin Street.

18 **Q** And what is your occupation?

19 **A** Oh, I'm the Director of the Planning,
20 Strategy, and Compliance Department.

21 **Q** Very good. Did you prepare and submit in this
22 proceeding prepared direct testimony of R. James Rocha
23 filed on September 12th, 2012?

24 **A** I did.

25 **Q** And did you sponsor revisions to your

1 testimony that were filed on October 12th,
2 November 20th, and November 27th?

3 **A** I did.

4 **Q** With those revisions, if I were to ask you the
5 same questions contained in your direct testimony, would
6 your answers be the ones contained in your revised
7 direct testimony?

8 **A** Yes, they would.

9 **MR. WAHLEN:** Mr. Chairman, we'd ask that the
10 revised prepared direct testimony of Mr. Rocha be
11 inserted into the record as though read.

12 **CHAIRMAN BRISÉ:** At this time we'll enter the
13 revised direct testimony of Mr. James Rocha into the
14 record as though read.

15 **MR. WAHLEN:** Thank you very much.

16 **BY MR. BEASLEY:**

17 **Q** Did you also prepare the exhibit identified as
18 RJR-1 that accompanied your direct testimony?

19 **A** Yes, I did.

20 **Q** Did you sponsor the revisions to your exhibits
21 that were filed on October 12th, November 20th, and
22 November 27th?

23 **A** Yes.

24 **MR. WAHLEN:** Very well. Mr. Chairman, I
25 believe that that exhibit has been premarked as Exhibit

1 Number 17, and we'd ask that it be formally identified
2 at this time.

3 **CHAIRMAN BRISÉ:** Sure. We want to identify
4 Exhibit Number 17 representing RJR-1.

5 **MR. WAHLEN:** Thank you very much.

6 **BY MR. WAHLEN:**

7 **Q** Mr. Rocha, are you also familiar with the
8 document that has been premarked as Exhibit 20? I
9 believe that's the -- are you familiar with that one?

10 **A** Yes, I am.

11 **Q** And is that the company's RFP that was used in
12 this case?

13 **A** Yes, it is.

14 **MR. WAHLEN:** Okay. Mr. Chairman, we'd also
15 ask that the company's RFP be formally identified as
16 Exhibit 20.

17 **CHAIRMAN BRISÉ:** Okay. We will identify for
18 marking purposes Exhibit 20 as the RFP.

19 (Exhibit 20 marked for identification.)

20 **BY MR. WAHLEN:**

21 **Q** Okay. Mr. Rocha, you also sponsor portions of
22 Exhibit 11, which is the need study; is that correct?

23 **A** Yes.

24 **Q** And do you have a correction or update to
25 Exhibit 11, which is the need study?

1 **A** Yes, I do.

2 **Q** And could you please point that out to the
3 Commission and explain what the change is?

4 **A** Okay. On page 61 of the need study, a, on
5 Table 13, there's a table on Proposal B. There's a line
6 item that's a typo in putting things into the Word
7 document, and the number currently is 13602.5 and should
8 have been 13937.1. The total is correct and the delta
9 is correct. It was a typo on that line item.

10 **Q** Okay. Thank you very much. Any other changes
11 or corrections?

12 **A** No, I do not.

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **PREPARED DIRECT TESTIMONY**

3 **OF**

4 **R. JAMES ROCHA**

5
6 **Q.** Please state your name, business address, occupation and
7 employer.

8
9 **A.** My name is R. James Rocha. My business address is 702 N.
10 Franklin Street, Tampa, Florida 33602. I am employed by
11 Tampa Electric Company ("Tampa Electric" or "company") as
12 Director of Planning, Strategy & Compliance. I direct the
13 resource planning group where my responsibilities include
14 identifying the need for future resource additions as well as
15 analyzing the economic and other operational impacts to Tampa
16 Electric's system associated with the addition of resource
17 options.

18
19 **Q.** Please provide a brief outline of your educational background
20 and business experience.

21
22 **A.** I graduated from the Georgia Institute of Technology with a
23 Bachelor of Nuclear Engineering degree in 1982 and a Master
24 of Science Degree in Nuclear Engineering in 1983. I earned a
25 Master's degree in Business Administration from the

1 University of Tampa in 1993 and I am a registered
2 Professional Engineer in the State of Florida. In 1984, I
3 was employed by Commonwealth Edison Company as a nuclear fuel
4 engineer, modeling unit operation. In 1987, I joined Florida
5 Power, and became a resource planning engineer in the
6 Generation Planning department. In 2000, I became Manager of
7 Financial Analysis at TECO Energy, responsible for business
8 development and asset management. Since 2006, I have held
9 several positions at Tampa Electric responsible for
10 budgeting, business strategies and North American Electric
11 Reliability Corporation ("NERC") Critical Infrastructure
12 Protection ("CIP") and non-CIP NERC compliance. I have 28
13 years of accumulated electric utility experience working in
14 the areas of resource planning, business and financial
15 analysis, and engineering. In December 2011, I was appointed
16 to my current position.

17
18 **Q.** What is the purpose of your direct testimony?
19

20 **A.** The purpose of my direct testimony is to describe Tampa
21 Electric's integrated resource planning ("IRP") process and
22 the resulting resource plan which supports the 2017 need for
23 the Polk 2-5 combined cycle conversion project ("Polk 2-5"),
24 a natural gas combined cycle ("NGCC") unit rated at 459 MW
25 summer and 463 MW winter net incremental capacity,

1 respectively. My direct testimony will (1) describe Tampa
2 Electric's existing system and resource mix, (2) describe
3 Tampa Electric's IRP process for selection of future demand
4 and supply resource alternatives, (3) demonstrate that Polk
5 2-5 is the most cost-effective alternative to reliably meet
6 Tampa Electric's customer needs, (4) describe the need for
7 additional resources for the Florida Reliability Coordinating
8 Council ("FRCC") region, (5) describe the results of the RFP
9 analysis, and (6) explain the adverse consequences if Polk 2-
10 5 is deferred or denied.

11
12 **Q.** Have you prepared an exhibit to support your direct
13 testimony?

14
15 **A.** Yes, Exhibit No. _____ (RJR-1) was prepared under my
16 direction and supervision. It consists of the following
17 thirteen documents:

18 Document No. 1 Energy Mix by Fuel Type
19 Document No. 2 Capacity Mix by Fuel Type
20 Document No. 3 Levelized Cost Screening Curves
21 Document No. 4 Tampa Electric Reliability Analysis
22 Document No. 5 FRCC Reliability Analysis
23 Document No. 6 FRCC Reliability Sensitivity Analysis
24 Document No. 7 Preliminary Resource Plans & Analysis
25 Document No. 8 IRP Resource Plans & Analysis

1 Document No. 9 IRP Sensitivity Analysis
2 Document No. 10 RFP Summary of Proposals
3 Document No. 11 RFP Resource Plans & Analysis
4 Document No. 12 RFP Qualitative Factors
5 Document No. 13 June 2012 Assumptions Update
6

7 **Q.** Are you sponsoring any sections of Tampa Electric's
8 Determination of Need Study for Electrical Power: Polk 2-5
9 Combined Cycle Conversion ("Need Study")?
10

11 **A.** Yes. I am sponsoring the following sections of the Need
12 Study: I. "Executive Summary", II. "Introduction and
13 Overview", III.A. "Description of Tampa Electric's System",
14 (except for III.A.1 and III.A.3), III.F.2. "Supply
15 Technologies", IV. "Need for Capacity in 2017" (except for
16 IV.A.1.), V. "Screening of Potential Technologies", VI.
17 "Detailed Economic Analysis", VII. "Sensitivity Analysis",
18 VIII RFP for Capacity as per Bid Rule, X. "June 2012
19 Assumptions Update", XI. "Adverse Consequences if Polk 2-5 is
20 Delayed or Denied" and XII. "Conclusion".
21

22 **DESCRIPTION OF EXISTING SYSTEM AND RESOURCE MIX**

23 **Q.** Please describe Tampa Electric's service area.
24

1 for Tampa Electric spans approximately 2,000 square miles and
2 consists of Hillsborough County, western Polk County and
3 parts of Pasco and Pinellas counties. Tampa Electric served
4 approximately 676,000 customers in 2011.

5
6 **Q.** What types of units make up Tampa Electric's existing
7 generating system?

8
9 **A.** Tampa Electric has three large generating stations and one
10 peaking station including an integrated gasification combined
11 cycle ("IGCC") and steam coal base load units, NGCC
12 intermediate load units, natural gas and oil fueled
13 combustion turbine units, aero-derivative engine peaking
14 units, and oil fueled internal combustion peaking units. The
15 total net system generating capacity in winter 2011 was 4,684
16 MW and 4,292 MW in summer 2012. Tampa Electric operates 670
17 MW of winter net generating capacity that has dual fuel
18 capability which improves overall system reliability.

19
20 Big Bend Power Station includes four pulverized coal-fired
21 steam units and one aero-derivative peaking unit. Big Bend
22 Units 1 through 4 are coal units that were retrofitted
23 between 2007 and 2010 with additional environmental control
24 systems including selective catalytic reduction ("SCR") to
25 reduce nitrogen oxides ("NO_x") emissions to complete the

1 station's comprehensive air emissions reduction program. Big
2 Bend Combustion Turbine ("CT") 4 is a dual fuel (natural gas
3 or oil) unit that is quick-start (full load in less than 15
4 minutes) and could provide black-start capability (a
5 generating unit capable of starting from a shutdown condition
6 without assistance from the electric system) for the station
7 and the system.

8
9 H. L. Culbreath Bayside Power Station ("Bayside Power
10 Station") includes two NGCC units and four aero-derivative
11 peaking units. Bayside Unit 1 utilizes three combustion
12 turbines, three heat recovery steam generators ("HRSG") and
13 one steam turbine. Bayside Unit 2 utilizes four combustion
14 turbines, four HRSGs and one steam turbine. Bayside Units 3
15 through 6 are natural gas-fired aero-derivative peaking units
16 that are quick-start and provide black start capability for
17 the station and the system.

18
19 Polk Power Station includes one base load and four peak load
20 generating units. Polk Unit 1 is a dual fuel IGCC unit
21 primarily fired with synthesis gas produced from a blend of
22 low-sulfur coal and petroleum coke ("petcoke"). Distillate
23 oil is a secondary fuel which is used for both start-up and
24 shut-down of the power block, and can be used to operate the
25 combined cycle at times when the gasification system is

1 unavailable. Polk Units 2 through 5 are simple cycle CTs
2 primarily fired by natural gas, and Units 2 and 3 are capable
3 of firing distillate oil as a secondary fuel.

4
5 J. H. Phillips Sebring Power Station includes two diesel oil-
6 fired peaking units located in Sebring, Florida. These two
7 units were placed on long-term reserve stand-by ("LTRS")
8 status on September 4, 2009 due to the relative higher cost
9 of heavy oil compared to natural gas and coal. These units
10 will remain on LTRS until the operating costs are competitive
11 with other supply resources. These units also have the
12 potential to utilize liquid biofuels and operate as a
13 renewable energy resource in the future.

14
15 **Q.** Does Tampa Electric include any purchased power in its total
16 supply resource mix?

17
18 **A.** Yes. Tampa Electric purchases power, both firm and non-firm,
19 from other utilities and independent power producers
20 operating in the Florida market. In 2011, Tampa Electric
21 solicited the market for firm peaking power through the end
22 of 2016 to replace the 20-year Hardee Power station purchase
23 power agreement ("PPA") expiring December 31, 2012. Two PPAs
24 were executed in fall 2011 for peaking capacity from the
25 Florida market. These agreements are described in more

1 detail in section III.A.2. of the Need Study. Only firm
2 purchased power capacity is included in the reliability
3 assessment process to determine the timing and minimum amount
4 of new resources required to maintain the firm reserve
5 planning criteria. However, both firm and non-firm purchased
6 power energy is included in the production cost analyses to
7 determine the most cost-effective mix of resources needed.
8

9 **Q.** What is the expected energy and capacity mix by fuel type for
10 Tampa Electric's total supply resources including purchases
11 in 2017?
12

13 **A.** The energy mix by fuel type for 2011 was 56 percent solid
14 fuel, 43 percent natural gas, a slight amount of oil and 1
15 percent net interchange purchases on an energy (MWH) basis.
16 In 2017, the energy mix is expected to be 59 percent solid
17 fuel, 39 percent natural gas, a slight amount of oil and 2
18 percent net interchange purchases on the same basis. This is
19 reflected in Document No. 1 of my exhibit. The capacity mix
20 by fuel type for 2011 was 36 percent solid fuel and 64
21 percent natural gas on a capacity (MW) basis. In 2017, the
22 capacity mix is expected to be 36 percent solid fuel and 64
23 percent natural gas on a capacity (MW) basis. This is
24 reflected in Document No. 2 of my exhibit.
25

1 Q. Has Tampa Electric developed and implemented demand and
2 energy reduction programs in its existing resource mix?

3
4 A. Yes. As described in Section III.A.3. of the Need Study,
5 Tampa Electric has successfully developed and implemented
6 numerous demand reduction and energy conservation programs
7 for over 30 years. The cumulative effect of these programs
8 as of the end of 2011 has eliminated the need for 719 MW in
9 the winter and 306 MW in the summer of net generating
10 capacity by slowing growth in both the company's peak demand
11 and energy requirements. This reduction is roughly
12 equivalent to the combined winter net capacity of Big Bend
13 Units 1 and 2, and by 2017 the cumulative effect of these
14 programs will eliminate the need for more than 376 MW of net
15 summer generating capacity. As a percentage of the Tampa
16 Electric total peak demand, this represents 9.0 percent of
17 the planned total summer peak of 4,165 MW in 2017, higher
18 than any NERC region average for demand reduction. Tampa
19 Electric witness Howard T. Bryant describes the company's
20 demand-side management ("DSM") achievements in his direct
21 testimony.

22
23 **INTEGRATED RESOURCE PLANNING PROCESS OVERVIEW**

24 Q. What are the objectives of Tampa Electric's IRP process?
25

1 **A.** Tampa Electric's IRP process determines the timing, amount
2 and type of additional demand reduction, energy conservation,
3 and supply resources required to maintain system reliability
4 in a cost-effective manner. The process considers the
5 existing customer demand and energy mix, expected growth and
6 changes in the customer demand and energy requirements,
7 existing and future DSM and energy conservation programs,
8 supply resources comprised of the Tampa Electric generating
9 units and purchased power, existing and future bulk
10 transmission system for Tampa Electric and the Florida grid,
11 and potential renewable energy resources appropriate for the
12 Florida energy market.

13
14 **Q.** Please describe Tampa Electric's IRP process.

15
16 **A.** The IRP process balances existing and future demand and
17 supply resources in a reliable and cost-effective manner
18 while considering strategic factors. Since cost-
19 effectiveness is a requirement for both demand and supply
20 resources, the process is an iterative cycle to capture the
21 value of deferring new generating units or PPAs resulting
22 from additional DSM programs. A reference resource plan that
23 includes both demand and supply resources is developed which
24 then becomes the basis for determining the new avoided costs
25 for deferral of supply resources. The additional cost-

1 effective DSM resources are then implemented to establish the
2 system demand and energy requirement, which is the new basis
3 for consideration of supply resource additions. The cycle is
4 repeated annually each business planning cycle, as all of the
5 operating and financial assumptions are updated.

6
7 The supply resources are initially screened on a levelized
8 cost basis with several criteria: construction costs,
9 operating and maintenance costs, technology viability or
10 applicability to the operating region, commercial
11 availability, and construction lead times. Multiple resource
12 plans are developed that consist of various combinations of
13 technologies and in-service dates to maintain system
14 reliability. The relative impacts of each resource expansion
15 plan are evaluated for total system annual operating and
16 maintenance costs and incremental capital costs. This
17 includes fuel, fixed and variable O&M, purchased power
18 capacity, energy and transmission wheeling and/or
19 transmission construction costs, and the incremental costs to
20 build all new generating units and associated transmission
21 capacity in each expansion plan. The plans are then
22 initially ranked based on the lowest cumulative present worth
23 revenue requirements ("CPWRR") of the system over a 30-year
24 operating period.

25

1 The highest ranked resource plan incorporates an initial
2 demand and energy forecast including DSM and supply
3 resources. The supply resources in the reference resource
4 plan are then used to determine the avoided cost for an
5 economic analysis of additional viable DSM and conservation
6 programs.

7
8 Next, the cost-effective DSM programs are included in a
9 revised demand and energy forecast which effectively reduces
10 system peaks and energy requirements. The revised system
11 demand and energy forecast is used in a final reliability
12 analysis to determine the new timing and magnitude of
13 additional supply resources needed to meet system reliability
14 criteria.

15
16 Final economic evaluations and sensitivities are performed to
17 determine the recommended resource plan. The highest ranked
18 plans are evaluated under various sensitivities to test key
19 planning assumptions and compare the relative cost impact on
20 a CPWRR basis. Strategic factors such as system and FRCC
21 region reliability, resource dispatchability, system and FRCC
22 deliverability, constructability (lead time, available
23 technology, etc.), fuel diversity and environmental impacts
24 are considered in determining the most cost-effective and
25 viable resource mix for both Tampa Electric's customers and

1 Florida. In addition, the existing generating system is
2 reviewed and includes planned unit retirements, expected
3 modifications to operating performance, capital, fixed O&M,
4 and variable O&M since the integration of new resources has
5 the potential to impact the utilization of existing
6 generating assets.

7
8 **SYSTEM RELIABILITY PROCESS**

9 **Q.** Please describe the criteria that Tampa Electric utilizes in
10 its IRP process to determine both the minimum amount and
11 timing of additional resources required to maintain system
12 reliability.

13
14 **A.** Tampa Electric utilizes a 20 percent firm reserve margin
15 reliability criteria above the system firm peak, as required
16 by the Florida Public Service Commission ("Commission") in
17 Order No. PSC-99-2507-S-EU issued on December 22, 1999, and a
18 minimum 7 percent supply reserve margin. The firm reserve
19 margin consists of both supply and non-firm demand resources
20 to maintain an allowance for unexpected variances in system
21 demand, generating unit availability, and purchased power
22 availability and deliverability. The minimum supply reserve
23 margin criterion maintains an important qualitative component
24 of firm reserves for reliability purposes to minimize the
25 impact of the loss of a supply resource at the time of peak.

1 If the firm reserve margin consisted of only non-firm demand
2 reserves (whereby total firm supply equals total load), then
3 the frequency of use of demand resources in a given year
4 would increase significantly. The firm system peak is
5 determined by including all firm wholesale agreements and
6 excluding non-firm customer demand from the total system
7 demand. Non-firm demand includes all interruptible service
8 customers and customer load reduction programs. Customers
9 who continue to participate in these voluntary programs help
10 defer the need for additional supply resources by reducing
11 firm peak demands. These customers may request to become a
12 firm customer or be excluded from a DSM program with
13 appropriate notification.

14
15 As reflected in its 2011 Ten Year Site Plan ("TYSP") and then
16 updated in its 2012 TYSP analyses, Tampa Electric is
17 expecting to incrementally reduce demand through 2017 by 70.4
18 MW and 33.1 MW in summer and winter, respectively, and reduce
19 the system energy requirement by 230.7 GWH, but will still
20 require 294 MW of capacity additions in 2017 to its existing
21 supply resource mix to meet the 20 percent reserve margin
22 criteria.

23
24 **Q.** Please describe the FRCC Minimum Reserve Margin Planning
25 criterion.

1 **A.** The FRCC has established a minimum firm reserve margin
2 planning criterion of 15 percent, taking into account the
3 three investor owned utilities' requirement of twenty
4 percent. The 15 percent margin is calculated using the
5 aggregate planned firm peaks of all FRCC member utilities in
6 addition to the aggregate generating units and firm PPAs; it
7 also includes all net firm interchange via the bulk
8 transmission ties to the SERC region. This margin assumes
9 that all available capacity is deliverable to all load
10 centers. During the FRCC presentation to the Commission at
11 the TYSP workshop on August 13, 2012 ("TYSP workshop"), the
12 FRCC presented analysis of the degree to which the peninsular
13 Florida system is becoming increasingly dependent upon demand
14 side management to meet its reserve margin criterion. In
15 order to ensure the peninsular Florida system remains
16 reliable in the future, the FRCC has developed and will
17 monitor a metric for DSM as a percentage of regional peak.

18
19 **SUPPLY RESOURCE ANALYSIS**

20 **Q.** What supply alternatives were considered in the analysis that
21 resulted in the selection of converting Polk 2-5 from simple
22 cycle to CC as the company's next planned generating unit
23 addition?

24
25 **A.** Tampa Electric considered a variety of options prior to

1 identifying NGCC technology as the best option for Tampa
2 Electric and its customers. Tampa Electric's screening
3 process included natural gas, solid fuel and renewable
4 technologies. General characteristics of natural gas
5 technologies include lower emissions, lower heat rate,
6 configured as either simple cycle or CC, wide range of
7 capacity sizes, and competitive cost per unit output.
8 Characteristics of solid fuel technologies include lower
9 variable fuel costs and higher fixed costs, such as capital
10 construction and fixed operating and maintenance costs, and
11 somewhat higher emissions depending on environmental control
12 technologies. Solid fuel technologies are typically better
13 suited for large capacity and high utilization applications
14 because these assets will dispatch for longer continuous
15 periods of time. Their lower variable operating costs,
16 longer ramp rates, and longer minimum down times make cycling
17 off the units more difficult than natural gas based
18 technology.

19
20 Renewable technologies tend to have lower or no fuel costs
21 but have significant fixed costs. In addition, technologies
22 such as geothermal and hydroelectric have limited practical
23 application in Florida. Similarly, wind and solar have
24 limited and unpredictable operating hours due to the
25 intermittent nature of their energy source. In the absence

1 of stored energy capability, intermittent renewables are best
2 considered as energy resources and not as firm capacity for
3 planning purposes. However, some renewable energy such as
4 biomass can be considered as a firm resource if sufficient
5 biomass material is stored and available.

6
7 **Q.** Which options were determined to be appropriate for Tampa
8 Electric's needs and system characteristics and analyzed in
9 greater detail?

10
11 **A.** The TYSP process included strategic considerations such as
12 fuel price stability, fuel diversity, environmental impacts,
13 technology viability, construction lead times, site
14 availability, and FRCC regional supply needs in the 2012-2021
15 period. Tampa Electric's screening analysis narrowed the
16 focus to natural gas-fired combined cycle or simple cycle
17 technologies for further analysis in the IRP process.

18
19 **Q.** Please describe the natural gas-fired generation alternatives
20 considered.

21
22 **A.** Tampa Electric considered in its screening simple cycle aero-
23 derivative engines similar to Bayside Unit 3 and simple cycle
24 combustion turbines similar to Polk Unit 5. The company also
25 screened a stand-alone 2x1 combined cycle unit in addition to

1 the integration of the existing Polk Units 2 through 5
2 peaking units into a combined cycle unit.

3
4 **Q.** Please describe the results of Tampa Electric's screening
5 analysis used to select the best supply alternatives for the
6 detailed economic analyses.

7
8 **A.** Tampa Electric's screening analysis of the various
9 alternatives compared the levelized annual cost (\$/kW-yr) of
10 each technology at various capacity factors. The levelized
11 cost includes the cost to construct, operate and maintain
12 each technology. The slope of each cost curve is a function
13 of the heat rate and variable O&M which increases linearly
14 with the increasing capacity factor. For all technologies,
15 the cost at zero capacity factor is simply the levelized
16 construction cost and fixed O&M. Tampa Electric selected the
17 following viable options: natural gas combined cycle
18 technology as intermediate options and simple cycle
19 combustion turbines as peaking options. The graphical
20 results of the levelized cost screening curves are presented
21 in Document No. 3 of my exhibit.

22
23 **DEMAND RESOURCE ANALYSIS**

24 **Q.** How were demand resources factored into the IRP process?
25

1 **A.** Tampa Electric included all DSM programs described by witness
2 Bryant in its preliminary demand and energy forecast, which
3 effectively reduced system peaks and energy requirements. By
4 2017, Tampa Electric's existing and incremental DSM programs
5 are projected to contribute summer and winter demand
6 reductions of 376.4 MW and 752.1 MW, respectively and energy
7 conservation of 1,000.7 GWH is expected and is reflected in
8 the projected firm peak and system energy requirements.

9
10 **Q.** Is it possible for Tampa Electric to meet its expected
11 resource needs through additional DSM and renewable energy
12 resources?

13
14 **A.** No. As previously stated, Tampa Electric identified all
15 cost-effective DSM reductions and utilized that potential in
16 the assessment of this determination of need. There are no
17 additional cost-effective DSM alternatives (above the
18 currently forecasted demand reductions and energy
19 conservation) or viable cost-effective renewable energy
20 resources that would defer the need for additional generating
21 capacity in 2017.

22
23 **RELIABILITY ANALYSIS AND RESOURCE PLAN**

24 **Q.** Please describe the results of the reliability analysis.
25

1 **A.** The reliability analysis was based on existing generating
2 unit operating data and projected system firm peak and energy
3 requirements which were developed in summer 2011. This data
4 supported the development of Tampa Electric's 2012 TYSP filed
5 with the Commission in April 2012. This analysis indicated
6 incremental supply resources are needed in 2017 to meet the
7 20 percent reserve margin criteria and 7 percent minimum
8 supply criteria, as shown on Document No. 4 of my exhibit.
9 Without additional firm supply resources the summer firm
10 reserve margin is 12.5 percent and the supply component would
11 fall to 6.8 percent in summer 2017.

12
13 **Q.** Please describe the results of the FRCC region reliability
14 analysis.

15
16 **A.** Tampa Electric's 2012 TYSP data was included in the aggregate
17 2012 FRCC TYSP workshop presentation to the Commission on
18 August 13, 2012. The FRCC reserve margin table in Document
19 No. 5 of my exhibit shows that the existing planned demand
20 and supply resource additions by Florida utilities will meet
21 the minimum reliability of 15 percent through 2021. However,
22 the initial reliability assessment should remove all planned
23 and proposed unit additions and review potential
24 modifications to existing generating capacity.

25

1 In addition, the FRCC has analyzed the increasing dependency
2 on DSM programs to provide these reserves. Beginning with
3 the 2012 Load & Resource Plan, the FRCC developed a metric
4 for DSM as a percentage of regional peak. During the FRCC
5 workshop, it was reported that of the eight NERC reliability
6 regions, the FRCC is among the highest in DSM as a percentage
7 of regional peak.

8
9 This increased dependency on DSM programs combined with the
10 uncertainty of planned yet uncommitted supply additions as
11 well as existing resources at risk of retirement due to
12 emerging environmental regulations or other factors raise
13 questions regarding future reserve margin calculations. If
14 future additions do not materialize and some existing
15 resources in the region are retired in response to costly
16 mandatory retrofits, the FRCC reserve margin could drop below
17 the minimum required from 2016 through 2019. This
18 sensitivity analysis is reflected in Document No. 6 of my
19 exhibit.

20
21 **Q.** Please describe the results of the preliminary IRP analysis.

22
23 **A.** The IRP included an additional 70.4 MW and 33.1 MW of summer
24 and winter demand reductions and incremental energy
25 conservation of 230.7 GWH compared to the cumulative

1 reductions to date. The IRP also confirmed the need for firm
2 purchases through 2016, and confirmed the need for the
3 conversion of the existing Polk 2-5 peaking units to combined
4 cycle in 2017 together with an additional simple cycle
5 combustion turbine in 2019. The preliminary resource plan is
6 shown in Document No. 7 of my exhibit. This shows that
7 accelerating the Polk 2-5 in-service date from 2019 as shown
8 in the 2011 TYSP to 2017 resulted in \$65.4 million in
9 savings.

10
11 The IRP screening process identified numerous resource plans
12 and two alternate plans were selected for further comparative
13 analysis to the Polk 2-5 plan. The first alternate plan
14 utilized only simple-cycle peaking unit additions throughout
15 the planning horizon, and the second alternate plan utilized
16 simple-cycle peaking units in the near term with the
17 conversion of the Polk CTs to a NGCC in 2025. The final IRP
18 resource plans that Tampa Electric considered are shown in
19 Document No. 8 of my exhibit.

20
21 **Q.** Please describe the results of the final IRP analysis.

22
23 **A.** Tampa Electric's economic evaluation process and
24 consideration of qualitative factors determined that
25 constructing NGCC technology at Polk Power Station

1 represented the most cost-effective option for Tampa Electric
2 and its customers. The expansion plan was then used to
3 develop avoided cost parameters to evaluate new and modified
4 DSM programs. The final Polk 2-5 plan demonstrated a CPWRR
5 savings of \$231.1 million when compared to the next best
6 alternative. The two alternate plans are higher total cost
7 utilizing the base assumptions due to higher operating costs.
8 This base economic analysis is shown in Document No. 8 of my
9 exhibit.

10
11 **Q.** Did Tampa Electric conduct sensitivity analyses related to
12 the selection of Polk 2-5 in the IRP process?

13
14 **A.** Yes. Tampa Electric conducted sensitivity analyses to
15 compare the Polk 2-5 plan with the two alternate expansion
16 plans. The analyses tested the sensitivity of the
17 recommended plan to independent variances in fuel prices,
18 customer demand and energy forecasts, and expansion plan
19 construction costs. High and low fuel forecast bands are
20 discussed in the direct testimony of Tampa Electric witness
21 J. Brent Caldwell. High and low customer demand forecast
22 bands are discussed in the direct testimony of Tampa Electric
23 witness Lorraine L. Cifuentes. High and low construction
24 cost bands are discussed in the direct testimony of Tampa
25 Electric witness Mark J. Hornick. The analysis held all

1 other factors constant while applying the targeted
2 sensitivities to the recommended plan and alternate plans to
3 determine the total systems costs and compare the 30-year
4 CPWRR.

5
6 Q. Please describe the results of the IRP sensitivity analyses.

7
8 A. After completion of the six sensitivity cases mentioned
9 above, Polk 2-5 was found to be the most economical choice in
10 all cases. When comparing Polk 2-5 to the two alternate
11 plans in the capital cost sensitivities, Polk 2-5 showed
12 savings of \$217.7 million (low cost) and \$229.3 million (high
13 cost) in CPWRR compared to the next most cost-effective
14 option. When comparing Polk 2-5 to the two alternate plans
15 in the customer demand and energy sensitivities, Polk 2-5
16 showed savings of \$283.9 million (low demand) and \$75.6
17 million (high demand) in CPWRR compared to the next most
18 cost-effective option. When comparing Polk 2-5 to the two
19 alternate plans in the fuel price sensitivities, Polk 2-5
20 showed savings of \$106.2 million (low fuel cost) and \$304.0
21 million (high fuel cost) in CPWRR compared to the next most
22 cost-effective option. A summary of the economic sensitivity
23 analysis is shown in Document No. 9 of my exhibit.

24
25 **RESOURCE REQUEST FOR PROPOSALS**

1 **Q.** Did Tampa Electric conduct an RFP to solicit proposals to
2 meet its peaking needs from 2013 through 2016 to replace the
3 expiration of the 20-year Hardee Power agreement that expires
4 on December 31, 2012?

5
6 **A.** Yes. In 2011, Tampa Electric issued a Request for Proposals
7 ("RFP") to solicit market proposals for capacity needs from
8 known participants in the market and conducted bilateral
9 negotiations with the top proposals. This resulted in
10 selecting two competitive agreements to purchase 117 MW
11 peaking power through the end of 2016 and 160 MW peaking
12 power through the end of 2015.

13
14 **Q.** Did Tampa Electric conduct an RFP to solicit alternatives to
15 meet its need for intermediate power beginning in 2017?

16
17 **A.** Yes. Tampa Electric conducted an RFP which solicited
18 proposals from all market participants. In March 2012, Tampa
19 Electric issued an RFP soliciting firm offers for cost-
20 effective alternatives to Polk 2-5. The RFP development and
21 evaluation process are discussed here and in the direct
22 testimony of witness Alan S. Taylor on behalf of Tampa
23 Electric.

24
25 **Q.** Please describe the development process of the RFP.

1 **A.** Various subject matter experts from across the company, along
2 with witness Taylor as the independent evaluator, crafted,
3 reviewed and edited the RFP document. It incorporated
4 sufficient schedule, scope and basis detail for all
5 respondents in the preparation of their bid, specifying how
6 their bid would be evaluated. As an attachment to the RFP,
7 Tampa Electric included a draft PPA that provided respondents
8 with a clear understanding of the general terms and
9 conditions.

10
11 **Q.** Please describe the evaluation process of the RFP?
12

13 **A.** The evaluation process included: initial screening for
14 minimum requirements, high level economic evaluation of
15 individual proposals, present value economic screen of
16 proposals, and a final evaluation of total system costs and
17 non-economic factors. Short-listed bidders were invited to
18 make a best and final offer. The final present value
19 evaluation included a relative evaluation of non-economic
20 factors.

21
22 In addition to evaluating individual proposals, Tampa
23 Electric evaluated combinations of proposals into portfolios
24 of generating alternatives in order to solicit a robust range
25 of individual proposals. Eligible proposals that passed

1 initial screening and individual economic ranking, but did
 2 not individually meet the capacity requirement for a given
 3 year, were evaluated in portfolios that matched them with
 4 other resources to meet the capacity need and the sequence of
 5 annual need identified in the solicitation.

6

7 **Q.** What was the result of the RFP for 2017 capacity?

8

9 **A.** Document No. 10 of my exhibit contains a summary of the
 10 short-listed bidders. After comparing the results of Tampa
 11 Electric's analysis and those performed by the independent
 12 evaluator, Polk 2-5 NGCC was selected as the most cost-
 13 effective alternative. This resulted in a CPWRR savings of
 14 \$117.9 million relative to the next higher cost bidder. A
 15 summary of the RFP resource plans and economic analysis is
 16 shown in Document No. 11 of my exhibit.

17

18 **Q.** Please describe Tampa Electric's proposed Polk 2-5 NGCC unit.

19

20 **A.** The existing Polk 2 through 5 combustion turbines will be
 21 converted to a NGCC facility located at Polk Power Station by
 22 integrating a new steam turbine with an additional capacity
 23 of 459 MW summer and 463 MW winter, incrementally. This
 24 incremental capacity is derived from waste heat from the four
 25 existing combustion turbines of 339 MW summer and 352 MW

1 winter, as well as 120 MW summer and 111 MW winter from
2 supplemental natural gas duct-firing in the four HRSGs. This
3 supplemental firing eliminates the need for two future aero-
4 derivative peaking units due to the expiration of a 121 MW
5 PPA on December 31, 2018. In addition, after the Polk 2-5
6 conversion to NGCC, the HRSGs are designed to allow the
7 existing combustion turbines to operate independently in
8 simple cycle mode in the event the steam turbine is
9 unavailable, providing significant system reliability and
10 operating flexibility. The NGCC configuration also enables
11 the potential integration of solar thermal renewable capacity
12 and energy in the future.

13
14 **Q.** Does Polk 2-5 have dual fuel capability?

15
16 **A.** The existing Polk Units 2 and 3 have dual fuel capability;
17 the existing Polk Units 4 and 5 are currently natural gas
18 fuel only, but will be permitted for future dual fuel
19 capability. The cost for converting Units 4 and 5 are not
20 included in the construction and operating plan.

21
22 **Q.** Please describe the consideration of the qualitative factors
23 in the selection of Polk 2-5.

24
25 **A.** Tampa Electric considered 13 unique non-economic, qualitative

1 factors in its selection. The proposals were evaluated
2 individually and in the relative context of the other
3 proposals. Document No. 12 of my exhibit contains a summary
4 of the evaluation of the relative qualitative factors. Polk
5 2-5 NGCC was favored due to its overall reliability, system
6 emissions rate, and dispatchability.

7
8 **FINAL RECOMMENDED RESOURCE PLAN**

9 **Q.** Were any resource plan assumptions updated prior to
10 developing the final recommended resource plan and after the
11 implementation of the RFP?

12
13 **A.** Yes. As part of the business planning cycle for Tampa
14 Electric, the fuel forecast, the customer demand forecast,
15 and other operating and financial forecasts are updated in
16 June 2012 of each year. These updated forecasts are the
17 basis for the next business planning cycle and activities,
18 including: studies which support all of the cost recovery
19 clause filings in August for reforecasting end of current
20 year and following year projections. These updated
21 assumptions are also used to develop the company's following
22 year TYSP filed in April. As a result, Tampa Electric
23 updated its fuel price and customer demand forecast in June
24 2012 as part of its normal business cycle and in preparation
25 for the 2013 fuel adjustment filed in August 2012 and the

1 2013 TYSP filing due in April 2013. This analysis included
2 the impacts of new and modified DSM programs. An assessment
3 of the June 2012 updated fuel price forecast and customer
4 demand and energy forecast confirm the forecasts are within
5 the bands of the sensitivities used in the original IRP
6 process. The updated fuel price forecast reflects lower
7 natural gas prices overall; the updated solid fuel price
8 forecast are somewhat lower as well.

9
10 The updated demand and energy forecast reflects lower growth
11 in customer demand and energy requirements which reduces the
12 amount of capacity needed in 2017 from 294 MW to 205 MW; this
13 affirms Tampa Electric's stated need for additional resources
14 in 2017. The updated forecasts were used to test the IRP and
15 RFP recommended plan to construct Polk 2-5 NGCC as the most
16 cost-effective alternative. For the IRP alternate expansion
17 plan cases using updated forecasts, the Polk 2-5 plan
18 resulted in CPWRR savings of \$266.7 million relative to the
19 closest IRP alternate expansion plan. For the RFP proposals
20 using updated forecasts, the resulting CPWRR savings is \$75.4
21 million relative to the most competitive bidder. Both of
22 these updated forecast results support Tampa Electric's final
23 recommended resource plan. Document No. 13 of my exhibit
24 contains a summary of the analysis utilizing updated
25 assumptions. Finally, considering the comprehensive

1 analyses, the qualitative factors, and the benefit to state-
2 wide reliability Polk 2-5 is the most cost effective
3 alternative for customers.
4

5 **Q.** What is the expected relative average retail customer cost
6 impact of Polk 2-5 compared to the reference case
7 alternative?
8

9 **A.** The relative retail customer cost impact was calculated on an
10 energy (MWH) basis. In 2017, the projected average retail
11 customer cost impact for the Polk 2-5 NGCC plan is \$6.09 per
12 MWH; however, the customer cost recovery clause impact for
13 Polk 2-5 NGCC is projected to be lower by \$1.32 per MWH due
14 to lower fuel and purchased power and capacity costs for a
15 net customer cost impact of \$4.76 per MWH compared to
16 projected costs in 2016. The incremental supplemental duct-
17 firing capacity of Polk 2-5 replaces the purchased power
18 capacity that retires at end of 2018. This cost-effective
19 incremental capacity eliminates the need for additional
20 supply resources and the associated costs to construct and
21 operate those avoided units. Finally, the PPA expiration
22 incrementally lowers the customer cost recovery clause impact
23 by an additional \$0.50 per MWH that would otherwise occur in
24 2019.
25

1 **BASIS FOR DETERMINATION OF NEED**

2 **Q.** Has Tampa Electric adequately established that there is a
3 need for Polk 2-5?
4

5 **A.** Yes. Tampa Electric will require an additional 294 MW of
6 firm supply resources in 2017 based upon the reliability
7 analysis. The most recent June 2012 forecast update for
8 customer demand described in the testimony of witness
9 Cifuentes reaffirms this need; based on this update, there is
10 a need for 205 MW of firm supply resources in 2017.
11

12 **Q.** Is the addition of Polk 2-5 consistent with the needs of
13 peninsular Florida?
14

15 **A.** Yes. Polk 2-5 does not significantly increase Tampa
16 Electric's reliance on natural gas on an energy basis and is
17 therefore consistent with state policy actions that encourage
18 fuel diversity. The Polk 2-5 conversion significantly
19 improves the efficiency of the four existing combustion
20 turbines units and Tampa Electric's system overall by
21 lowering the heat rate and dispatching ahead of other less
22 efficient units. It should also be noted that load
23 management and interruptible customer DSM programs are
24 voluntary, so customers have a choice to withdraw from
25 programs at any time with proper notification. During the

1 2012 TYSP Workshop on August 13, the FRCC presented a chart
2 to the FPSC which showed the summer reserve margin without
3 exercising load management or interruptibles would only be
4 about 15 percent, which includes all planned additions,
5 including Polk 2-5 in 2017.

6
7 Tampa Electric's need for additional natural gas-fired
8 combined cycle capacity in January 2017 is consistent with
9 the Peninsular Florida capacity needs in this same period, as
10 identified by the FRCC and reported in the FRCC 2012 Regional
11 Load and Resource Plan. The FRCC 2012 plan uses Tampa
12 Electric specific data in conjunction with similar
13 information from other Florida electric utilities. In
14 addition, there are concerns regarding continued operation of
15 existing solid fuel assets due to emerging environmental
16 regulations and the costs to comply. Tampa Electric has
17 completed all the required environmental controls for all of
18 its solid fuel units. If future additions do not materialize
19 and some existing resources in the region are retired in
20 response to costly mandatory retrofits, the FRCC reserve
21 margin could drop below the minimum required from 2016
22 through 2019.

23
24 **ADVERSE CONSEQUENCES**

25 **Q.** What would be the adverse consequences if the Polk 2-5 in-

1 service date were delayed from 2017 to 2019?

2
3 **A.** In the event that Polk 2-5 is delayed by two years, project
4 costs would increase, and customer fuel savings for 2017 and
5 2018 would not be realized. Tampa Electric would construct
6 simple cycle peaking units in 2017 to cover the reserve
7 margin requirement in 2017 and 2018. System energy
8 requirements would be served by peaking capacity resulting in
9 higher fuel costs. This would result in higher costs for
10 customers of \$65.4 million on a CPWRR basis. Witness Hornick
11 describes the potential for an equipment demand spike
12 scenario if there is a delay. If this equipment demand spike
13 scenario materializes, this would result in higher costs for
14 customers of \$100.0 million on a CPWRR basis.

15
16 **Q.** What would be the adverse consequences if the proposed Polk
17 2-5 is denied?

18
19 **A.** If Polk 2-5 is denied, Tampa Electric would not be able to
20 satisfy its minimum 20 percent Reserve Margin and minimum 7
21 percent supply planning criteria by the summer of 2017 in the
22 most reliable and cost-effective manner. This would expose
23 Tampa Electric's customers to a greater risk of interruption
24 of service in the event of unanticipated forced outages or
25 other contingencies for which Tampa Electric maintains

1 reserves. Even without an interruption in service, without
2 Polk 2-5 the company's customers would be subject to higher
3 fuel costs as the company would have to rely on less
4 efficient simple cycle generation to meet its need.

5
6 **Q.** Should Tampa Electric's petition for determination of need
7 for Polk 2-5 be approved?

8
9 **A.** Yes. For the reasons I have described, Polk 2-5 is the most
10 cost effective option for Tampa Electric's customers to
11 maintain system reliability, environmental emission rates and
12 fuel diversity. Tampa Electric requests that the Commission
13 issue an affirmative determination of need for Polk 2-5 in
14 this proceeding.

15
16 **Q.** Please summarize your direct testimony.

17
18 **A.** Tampa Electric's IRP process incorporated an on-going
19 evaluation of demand and supply resources and conservation
20 measures to maintain system reliability. By 2017, Tampa
21 Electric's DSM programs will have produced summer and winter
22 customer demand and energy reductions of 376.4 MW and 752.1
23 MW, respectively and energy conservation of 1,000.7 GWH. The
24 reliability analysis determined that Tampa Electric will have
25 capacity needs by 2017 of 294 MW. Alternate plans,

1 technologies, sensitivities, timing, and a market
2 solicitation were evaluated and the selection of Polk 2-5 was
3 supported by subsequent economic analyses of viable supply
4 alternatives, demonstrating that Polk 2-5 is the most cost-
5 effective option compared to other technologies and available
6 supply capacity from the Florida market.

7
8 After consideration of all existing, new and modified DSM
9 programs and renewable energy initiatives, the construction
10 of Polk 2-5 with a January 2017 in-service date should not be
11 deferred. A two-year deferral of the recommended plan could
12 increase costs to customers by \$100.0 million. Tampa
13 Electric also determined that fuel diversity is a key
14 objective and the addition of natural gas combined cycle
15 technology in 2017 still maintains a prudent balance in Tampa
16 Electric's capacity and energy mix. When considering the
17 viability of uncommitted resources, the risk of emerging
18 environmental regulations, and the uncertainty of voluntary
19 DSM programs, Polk 2-5 is needed as a firm resource within
20 the FRCC region.

21
22 Polk 2-5 provides significant savings of \$117.9 million to
23 Tampa Electric's customers when compared to the most cost-
24 effective alternative while providing additional benefits in
25 the areas of reliability, fuel diversity, environmental

1 impacts, and generating system efficiency. The results of
2 these scenarios reinforce Tampa Electric's selection of Polk
3 2-5 as the best alternative for Tampa Electric and its
4 customers.

5

6 **Q.** Does this conclude your direct testimony?

7

8 **A.** Yes, it does.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. WAHLEN:

2 Q Okay. Thank you. Mr. Rocha, would you please
3 summarize your direct testimony?

4 A I will. Good afternoon -- morning --
5 afternoon right on the button.

6 Tampa Electric is seeking a determination of
7 need for the conversion of the existing Polk 2-5 units
8 into a highly efficient combined cycle unit. Most of
9 the capacity gained from this project is the
10 installation of a steam turbine to capture approximately
11 340 megawatts of waste heat from the four existing
12 combustion turbines that is currently being vented into
13 the air. The generation from this waste heat recovery
14 is enough to serve over 100,000 homes.

15 There will also be an additional 120 megawatts
16 achieved from supplemental natural gas firing in the
17 four heat recovery steam generators, or HRSGs. This is
18 a process where natural gas is used to provide
19 additional heat for even more steam generation during
20 times of peak demand. This supplemental firing
21 eliminates the need for two future peaking units.

22 In addition, the HRSGs will be designed to
23 allow the existing combustion turbines to operate
24 independently in simple cycle mode in the event the
25 steam turbine is unavailable, providing significant

1 system reliability and operating flexibility.

2 Finally, the natural gas combined cycle
3 configuration enables the potential integration of
4 renewable solar thermal energy in the future.

5 Tampa Electric's IRP process incorporated an
6 ongoing evaluation of demand and supply resources and
7 conservation measures to maintain system reliability.
8 While the company has achieved significant load and
9 energy savings through the implementation of various DSM
10 and conservation programs, as well as incentives to use
11 renewable resources, the reliability allows (phonetic)
12 that Tampa Electric will still have a capacity need in
13 2017 of 205 megawatts with the latest updates.

14 Alternative technologies along with
15 sensitivities related to fuel pricing, load growth, and
16 capital costs were evaluated to ensure this project was
17 Tampa Electric's most cost-effective option for its
18 customers.

19 Next, the company issued a request for
20 proposals where various offers for the needed capacities
21 were received and evaluated against the Polk
22 2-5 project.

23 The economic analyses of these viable supply
24 alternatives demonstrated that the Polk waste heat
25 recovery project is the most cost-effective option

1 compared to other technologies and available capacity
2 from the market, while also dramatically reducing
3 environmental emission rates, conserving fresh water
4 through the use of reclaimed water, leveraging the
5 existing site and infrastructure, and delivering many
6 transmission benefits to reduce congestion and improve
7 reliability.

8 Tampa Electric also acknowledged that fuel
9 diversity is a key objective, and the addition of this
10 natural gas combined cycle technology in 2017 still
11 maintains a prudent balance in Tampa Electric's capacity
12 and energy mix.

13 Also, when considering the viability of
14 uncommitted resources and the risk of emerging
15 environmental regulations, Polk 2-5 is needed as a firm
16 resource within the FRCC region.

17 In conclusion, the Polk 2-5 project with its
18 benefit of capturing waste heat from four existing
19 combustion turbines provides significant savings to
20 Tampa Electric's customers when compared to the most
21 cost-effective alternative, while providing additional
22 benefits in the areas of reliability, fuel diversity,
23 environmental impacts, and generating system efficiency.
24 The results of our evaluation and that of our
25 independent evaluator reinforce Tampa Electric's

1 selection of Polk 2-5 as the best alternative for Tampa
2 Electric and our customers. Thank you, Commissioners.

3 **MR. WAHLEN:** Mr. Rocha is available for
4 questions.

5 **CHAIRMAN BRISÉ:** Mr. Wright.

6 **MR. WRIGHT:** Thank you. Excuse me. Thank
7 you, Mr. Chairman. Something jumped into my throat.

8 **CROSS EXAMINATION**

9 **BY MR. WRIGHT:**

10 **Q** Good morning, Mr. Rocha.

11 **A** Good morning.

12 **Q** It's good to see you again after all these
13 years.

14 **A** Yes, sir. That's right.

15 **Q** Just for, to be clear on definitions, if I
16 refer to the Polk project, to the Polk conversion
17 project, we'll know we're talking about the company's
18 proposed combined cycle project with duct burners;
19 correct?

20 **A** We're on the same page.

21 **Q** All right. And if I refer to Tampa Electric's
22 2019 CT, that's a projected 7FA combustion turbine unit;
23 correct?

24 **A** Yes.

25 **Q** And I think we've all agreed that the DeSoto

1 facility is Proposal B as evaluated in your RFP process;
2 correct?

3 A Very well. Thank you for that.

4 Q Thank you.

5 Did you personally review all of the proposals
6 received in response to the RFP?

7 A The proposals, I did, after the initial
8 proposals were opened by our independent evaluator
9 first.

10 Q And so you did personally review DeSoto's
11 proposal?

12 A I read all of the, I reviewed all of the
13 proposals. Yes.

14 Q Did you ever speak with representatives of
15 DeSoto Generating Company?

16 A The plan was that Benjamin Smith, who works
17 for Mr. Brent Caldwell, would be the point of contact
18 with all bidders. So I did not.

19 Q Okay. Thanks. In your work here you
20 evaluated a number of alternate generation expansion
21 plan options; correct?

22 A I did. Moving back to the IRP process before,
23 of course, the RFP went out.

24 Q And is that the same process that the company
25 goes through when it prepares its Ten-Year Site Plan?

1 A Yes, it is.

2 Q Thank you. And are you the responsible guy
3 for, for that process in the Ten-Year Site Plan process
4 as well?

5 A Yes. Yes, sir.

6 Q Thanks. And it was you and/or members, folks
7 who work for or with you who prepared the economic
8 analyses for the Polk project that are reflected in your
9 testimony and in the need study?

10 A That is correct.

11 Q Thank you. And the analytical approach you
12 use is a 30-year cumulative present worth revenue
13 requirement minimization approach; correct?

14 A Yes.

15 Q I've got a couple of questions for you about
16 your exhibits and the sensitivity analyses you did. If
17 you could look at document 9 and document 8 of your, of
18 your exhibit.

19 Let's look at document 8 first, please. These
20 three -- this table shows three alternate resource
21 plans; correct?

22 A Yes, it does.

23 Q And do I understand correctly that all of the
24 units shown in each of these resource plans are Tampa
25 Electric self-built units?

1 **A** All of the future plants are proposed at this
2 time. I don't know who will build them because they may
3 be subject to RFPs.

4 **Q** Okay.

5 **A** But these are the expansion plans and the
6 current PPAs that Tampa Electric has to meet our reserve
7 margin requirement that came out of the IRP.

8 **Q** Okay. And the real point I'm trying to get to
9 is these, these plans are, are IRP plans. They do not
10 include any of the proposals received in response to the
11 RFP; correct?

12 **A** Oh, no. This was prior to that.

13 **Q** Thanks. And so in document 9, the IRP
14 sensitivity analysis, again, these only address, these
15 sensitivity analyses reported in your document 9 only
16 address the three expansion plans shown in document 8;
17 correct?

18 **A** Yes. In the development of the Ten-Year Site
19 Plan we do many sensitivities to select the best
20 technology and timing for customers.

21 **Q** When you got to the stage of evaluating
22 proposals, DeSoto and A, C, and D, did you run the same
23 or comparable sensitivities for the DeSoto purchase as
24 those sensitivities reflected in your document number 9?

25 **A** We do -- we did perform sensitivities similar

1 to those.

2 Q Just trying to understand --

3 A Well, to be specific --

4 Q Yeah, please.

5 A -- we did do customer demand and fuel
6 sensitivities. I'm not -- you know, obviously capital
7 costs, we wouldn't have done that for the proposals.
8 Their proposal was a firm proposal.

9 Q Okay. So you would have done a low fuel cost
10 sensitivity for the, for the RFP proposals?

11 A Yes.

12 Q Okay. Do you know whether you did an updated
13 sensitivity, updated sensitivity analyses based on the
14 June 2012 updated fuel costs?

15 A Yes. The staff asked that exact question, and
16 it was question number 75.

17 Q Thank you. The cost-effectiveness of the Polk
18 project is, is significantly dependent on future natural
19 gas prices, is it not?

20 A That is -- it is dependent on fuel prices.
21 Obviously demand and energy is a big, is a big one in
22 IRP when we do these models, and then fuel prices are
23 next. And then, of course, timing is very important.

24 **MR. WRIGHT:** Okay. I have an exhibit, Mr.
25 Chairman.

1 **CHAIRMAN BRISÉ:** Sure. We are at 29.

2 (Exhibit 29 marked for identification.)

3 **BY MR. WRIGHT:**

4 **Q** Okay. This is -- there have been some
5 different numbers presented in evidence in this -- or in
6 discovery and testimony in this case relative to the
7 savings as estimated by yourself really of Polk versus
8 the DeSoto project. And if you could look at, first
9 look at page 27 of your testimony.

10 **A** I'm there.

11 **Q** You testified there that the projected CPWRR
12 savings of Polk versus the next most cost-effective
13 alternative was 132.4 million; correct?

14 **A** Prior to the revision, yes, that is correct.

15 **Q** And that was -- in fact, that was -- DeSoto
16 was the next most cost-effective alternative; correct?

17 **A** Yes. That is correct.

18 **Q** Okay. And then you did an update in June, and
19 that changed the number from 132 to 97 million?

20 **A** Yes. As part -- every year, you know, there's
21 always a time you put pencils down and get assumptions,
22 and every year around June we get a new customer
23 forecast of use and also a fuel forecast, and that
24 serves as the basis for the next year, and that is what
25 we used. We did update.

1 **Q** Okay. And then if you would look at the, the
2 first page following the cover page of the little
3 exhibit I just handed out. That's page 61 of the
4 company's need study. And the table at the top there
5 shows the, shows the CPWRRs based on the revised, the
6 revised estimates from the June updates; correct?

7 **A** Yes. That is our latest update in June.

8 **Q** Okay. And then the next page is the staff
9 asked you a question about the calculations shown in, I
10 guess it was actually in, in that table, and you said
11 that, in October you said that everything was okay, but
12 then in November you identified another, another
13 correction that needed to be made. And that reduced
14 that 97 million to 75.4 million; correct?

15 **A** I, I would correct, correct you in that I
16 think it was interrogatory 75 that led us to this, that
17 correction.

18 **Q** Okay.

19 **A** And the question was the high and low fuel
20 forecast on the, on the new updates. And just to get to
21 the heart of the matter, when we did the high and low
22 and you look at results and you see the trends, and does
23 this make sense, there was something that stood out to
24 me. My folks looked into the analysis and found that
25 the, in the back end after the DeSoto project comes in

1 service you always have to fill the next need and the
2 next need and the next need.

3 In order to make the DeSoto project most
4 cost-effective, the next need should be a combined cycle
5 like the Polk 2 project; otherwise, it would be hundreds
6 of millions of dollars less cost-effective. And so the
7 supplemental firing portion was not modeled correctly,
8 and it was something I should have caught. I always
9 hope to be error free. And so my folks found that and
10 reported it right away, and revised the number from
11 97 to \$75 million net benefit to customers.

12 Q With the understanding that the numbers
13 changed, I have some questions about where certain
14 buckets of dollars show up in Table 13 and any successor
15 tables. Table 13 is the one on page 61 of the need
16 study.

17 A Yes.

18 Q The first question is where do transmission
19 costs show up in, in this table?

20 A Transmission costs would show up under
21 capital. Wheeling costs, which are also required for
22 the DeSoto project, would be under fuel and purchased
23 power.

24 Q Thank you. And similar question, would firm
25 gas transportation costs show up in the fuel and

1 purchased power row of that table?

2 **A** Yes, they would.

3 **Q** Thank you. Did you consider any alteratives
4 to the assumption of firm FPL wheeling to get DeSoto
5 power to Tampa Electric?

6 **A** I did not, and let me just use an example.

7 In 2010, we did purchase some energy from the
8 DeSoto project, and we had two freezes, cold -- we call
9 them freezes in Tampa -- that year, and some of the
10 energy was curtailed because it was not able to be
11 wheeled.

12 **Q** I think Mr. Caldwell testified earlier that he
13 furnished the firm gas transportation costs to
14 Mr. Taylor. Does that sound right to you?

15 **A** Yes, he did, both the cost and the volumes.

16 **Q** Okay. And did you use those same figures in,
17 in your analyses?

18 **A** Absolutely.

19 **Q** Thank you. Okay.

20 **MR. WRIGHT:** Mr. Chairman, I have a
21 confidential exhibit. With your indulgence, I would
22 propose that we'll file a notice of intent to request
23 confidential treatment for this and one other document
24 by the end of the day, and the appropriate request for
25 confidential classification within the next four, four

1 business days.

2 **CHAIRMAN BRISÉ:** Okay. Mr. Beasley?

3 **MR. BEASLEY:** That's fine with us.

4 **CHAIRMAN BRISÉ:** Okay. This is number 30.

5 (Confidential Exhibit 30 marked for
6 identification.)

7 **BY MR. WRIGHT:**

8 **Q** Mr. Rocha, this is a copy of the letter
9 transmitting DeSoto Generating Company's best and final
10 offer to Mr. Smith at Tampa Electric. Have you seen
11 this before?

12 **A** I have.

13 **Q** Thank you. And I know, I know you're familiar
14 with the drill here, but we have to do this, this fun
15 little conversational dance of I ask you questions that
16 are designed to talk about what's there, but we're not
17 supposed to talk about the actual substantive content of
18 what's there. Okay?

19 **A** Yes, sir.

20 **Q** Thanks. And this was, as far as you know,
21 this was received on the date sent, July 13th, 2012?

22 **A** To the best of my knowledge.

23 **Q** Okay. What, if any, communications did you
24 have with DeSoto between July 13th and July 27th, 2012?

25 **A** I had no conversations ever with DeSoto. That

1 all went through Mr. Benjamin Smith.

2 Q Okay. Thank you. In the analyses of the
3 DeSoto cost-effectiveness, did you assume that the
4 purchase would be closed on June 1st, 2013?

5 A Yes.

6 Q Thank you. Now we get to do our little
7 proverbial --

8 A Hence the line numbers you have?

9 Q Hence the line numbers so that we can talk
10 about exactly what's what.

11 The -- if you would, please, look at the
12 highlighted content -- well, I show all the content on
13 lines 10 through 12. I just want to ask you -- you said
14 you're familiar with the document.

15 A Yes.

16 Q Question, would the proposal that is offered
17 there by DeSoto have enabled Tampa Electric Company to
18 avoid any risk associated with incremental transmission
19 costs during the period 2013 through 2016?

20 A I'm not the subject matter expert on
21 transmission, but I don't see how it would impact that
22 need. This is just -- I don't know how to describe
23 it -- a PPA. Can I say that?

24 Q Did you understand the content of what's there
25 as reflecting DeSoto's willingness to take the risk for

1 transmission costs that might be associated with the
2 operation of the facility during that period?

3 **A** No, I didn't look at that that way at all. I
4 looked at this as a means of addressing the reserve
5 margin need of a unit coming in four years prior to the
6 in-service date and yet still not being the most
7 cost-effective option for customers.

8 **Q** And I think I know what the answer is going to
9 be based on that answer, but I do want to ask you the
10 same question --

11 **A** Yes, sir.

12 **Q** -- with respect to firm gas transportation
13 costs. Did you not understand that this would remove
14 any risk associated with firm gas transportation costs
15 from Tampa Electric Company?

16 **A** I did not understand it that way because I
17 would not agree with that. Purchasing this asset that
18 would require -- would show revenue requirements to
19 customers beginning in 2013 would require a firm energy
20 for both transmission and gas transportation.

21 **MR. WRIGHT:** Mr. Chairman, I have another
22 confidential exhibit, and this, this is the executive
23 summary of the DeSoto proposal that was furnished to --
24 presented to Tampa Electric Company.

25 **CHAIRMAN BRISÉ:** Okay. That would be Number

1 31.

2 (Confidential Exhibit 31 marked for
3 identification.)

4 **BY MR. WRIGHT:**

5 Q Before we go on to -- I'm sorry. It is
6 completely --

7 A Now we're directly in the confidential.

8 Q It is completely fair for you to take your
9 time and look at the exhibits and I didn't want to
10 interrupt you.

11 A Very good.

12 Q Okay. But before we go on to I guess what has
13 now been marked as --

14 **CHAIRMAN BRISÉ:** 31.

15 **MR. WRIGHT:** Thank you.

16 **BY MR. WRIGHT:**

17 Q What has now been marked as Exhibit 30, the
18 best and final offer, I just want to ask you -- the
19 previous one I gave you. Okay. This is, this is a
20 process question. It's not a content question.

21 A Okay.

22 Q Do you know whether anyone from Tampa
23 Electric -- well, back up. Predicate. I asked you
24 whether you understood the content there to mean such
25 and such. You said you did not.

1 Do you know whether anyone from Tampa Electric
2 Company spoke with DeSoto representatives in an effort
3 to clarify the meaning and the intent of the content
4 that we're dancing around here?

5 **A** I do not know.

6 **Q** Okay. Thank you.

7 **A** Benjamin Smith would have been and -- under
8 Brent Caldwell's guidance.

9 **Q** Thank you. Okay. The good news with respect
10 to what has now been marked as Number 31, which is the
11 executive summary of the DeSoto proposal, is that
12 there's only a little bit of information there that's
13 highlighted, and so the rest of it is, is
14 nonconfidential and will be published public accordingly
15 when we file, you know, the redacted version.
16 Everything else other than that little bit of
17 highlighting there will be public. And the further good
18 news is I just want to ask you about the nonconfidential
19 information there.

20 **A** Okay.

21 **Q** Okay. You'd agree that both the initial
22 purchase sale price and the best and final offer sale
23 price are a lot less than \$706 million; correct?

24 **A** I would agree that the initial capital costs
25 are a lot less, and there's always the total costs that

1 must be considered for customers.

2 Q Absolutely. That's your job.

3 A That's -- yes, sir.

4 Q And you'd agree that DeSoto, you said you
5 bought from DeSoto and it does have a proven operating
6 history in Florida?

7 A They are an experienced operator of power
8 plants.

9 Q And you acknowledged that DeSoto does have
10 dual fuel capability?

11 A Yes, they do.

12 Q Are you aware that Tampa Electric is at least
13 sometimes currently involved in attempting to market
14 capacity?

15 A There's a -- we deal every day in between the
16 marketing function and the reliability function. So
17 sometimes I don't know, always know everything that's
18 going on, where it's shared. But I still don't know --
19 I'm sure they try.

20 Q You'll note that the last open circle bullet
21 toward the -- there's a bunch of, there's seven open
22 circle bullets in the middle of the page there, and the
23 last one references DeSoto's representation that DeSoto
24 could be converted to combined cycle at a later date.
25 Do you see that?

1 **A** Yes, I do.

2 **Q** Okay. Did you, did you evaluate that claim by
3 DeSoto?

4 **A** What we -- not, not exactly that. What we did
5 was, in the expansion plan after the peakers, looked and
6 determined that the next viable alternative was a
7 combined cycle. And the only one I had numbers on to
8 evaluate as a combined cycle would have been the Polk
9 2 project.

10 **Q** Okay. And that's a 4-on-1; correct?

11 **A** It is.

12 **Q** Okay. So you didn't evaluate any
13 2-on-1 options?

14 **A** During the IRP we certainly did.

15 **Q** Okay.

16 **A** But not at this stage once we were evaluating
17 head-to-head proposals that we were provided.

18 **Q** If you assume that DeSoto was available to
19 Tampa Electric as of June 2013, did you assign or give
20 any credit or assume any value for additional
21 reliability that the additional capacity would provide
22 between 2013 and 2017?

23 **A** No, for two reasons. We're already here in
24 December, and the amount of transmission interconnection
25 that's required -- I think it's been announced, that's

1 not a private number, 17 million -- that hasn't
2 commenced. It would have to be done by June. And to
3 provide the total output as firm, you could, of course,
4 receive it as, as, as non-firm, so.

5 Q Did you consider any value that, that having
6 the DeSoto plant online would have in terms of avoiding
7 the 160-megawatt unspecified capacity purchase in 2016?

8 A Absolutely did. And, in fact, that's a
9 significant benefit that shows in the DeSoto proposal.
10 In the Tampa Electric self-build case we renewed, we
11 used numbers from an option, and that hit our economic
12 analysis by \$15 million.

13 In the case, since we would be purchasing in
14 June of 2013, we removed that from the analysis such
15 that there was a \$15 million benefit in 2016 for the
16 DeSoto project.

17 Q Did you consider any -- did you assign any
18 value to potential capacity revenues that might be made
19 available from DeSoto?

20 A I did not, and I do not do that on any
21 proposal in any prospective speculative sales.

22 Q Okay. And so if I asked you the same question
23 about potential energy sales, the answer would be the
24 same?

25 A That is correct.

1 Q Did you consider any possible value that Tampa
2 Electric might realize if it were to defer the Polk
3 project to keep an eye on gas prices or future
4 technological developments?

5 A In terms -- help me with the question. Did I
6 consider that in terms of?

7 Q If you defer, if you defer -- we do agree that
8 \$706 million is a lot of money; right?

9 A Any, any impact to customers is a lot of
10 money. Yes.

11 Q Okay. If you were to postpone the addition of
12 Polk -- and I understand, I understand your plan and I
13 understand your analyses. But if you were to postpone
14 the addition of Polk, that would give you a year, two
15 years, whatever, to get a better handle on what gas
16 prices are doing; correct?

17 A I -- you know, you also, in addition to the
18 economics, you also need to consider reliability. And I
19 think we've demonstrated and everyone has agreed that
20 the need exists in 2017 for Polk 2.

21 Q Sure.

22 A And there is a need in '19 if we went with the
23 DeSoto project.

24 Q And, but if you add DeSoto, you don't need
25 Polk in '17. Your optimized -- do I understand your

1 optimized plan would push Polk to '18; is that right?

2 A Not with the updated assumptions. It's '19 --

3 Q Oh, okay. Thanks.

4 A -- with the updated latest numbers.

5 Q In Table 11 of the need study -- it's on page
6 49.

7 A Thanks for the help.

8 Q In the Proposal B column, do I -- just trying
9 to understand your last answer, that analysis presented,
10 you know, back in your filing in September, showed Polk
11 in '18. You just told us that Polk would move to '19;
12 correct?

13 A With the new demand in energy forecast, it
14 would move that one more year.

15 Q Thanks. And would the 2019 and 2022 CTs still
16 drop out of the plan?

17 A They would -- I think one of them is deferred
18 and one is not. But that's subject to check, one year.

19 Q Did the demand increase a lot in the update?

20 A No. The demand went down.

21 Q Okay.

22 A And so did fuel prices in the update.

23 Q Okay.

24 A In what we are calling June 2012 update.

25 Q So when you say one of the CTs was not

1 deferred -- I was trying to ask about the 2019 and 2022
2 CTs, which are not shown anymore in the Proposal B
3 column in that table.

4 **A** They are still needed. The 20 -- I see a 2029
5 and a 2026. I think the 2026 went to 2027 and the 2029
6 stayed in place.

7 **Q** Thank you very -- that answered the question I
8 was trying to ask you. I appreciate it. Thanks.

9 I will bet you're familiar with the basic
10 concept of benefit cost analysis. Is that a good bet?

11 **A** Yes.

12 **Q** In this context would it be fair to say that
13 the company is proposing to spend \$706 million to
14 achieve something like \$782 million of net present value
15 benefits?

16 **A** Where is -- help me with the 782.

17 **Q** 706.6 plus 75.4, which is the CPWRR savings,
18 is 782 million.

19 **A** The 75 is what accrues to the customer if
20 they -- it's a delta between the two.

21 **Q** Right.

22 **A** I'm struggling with the way you've
23 characterized it, that's all. But I think we would
24 agree that it's 75 million benefit more to customers by
25 selecting Polk 2.

1 Q Yeah. I understand, I understand that's,
2 that's your position. So you're spending 706 to get
3 75 incremental. But, of course, you --

4 A Oh, there's a lot more fuel --

5 Q To get the benefit, you've got to get, you've
6 got to get the whole 706 back too; right?

7 A There's a lot of fuel savings to customers.
8 On the high fuel case, it's probably 25 million; those
9 two years that you don't see the combined cycle on the
10 system.

11 Q I've got just a couple more questions for you,
12 you'll be happy to know. And it has to do with, these
13 questions have to do with your results as, as compared
14 to Mr. Taylor's results.

15 Your analyses showed, you know, 132 million
16 savings adjusted to 97, adjusted to 75. All right. If
17 I look at Mr. Taylor's exhibit -- I want to say it's
18 Table A6 in his independent evaluation report. I think
19 that's the one.

20 A Three-ring, it's slow moving the three-ring
21 binder.

22 Q Yeah. Tell me about it.

23 Yeah. It is Table A6.

24 A I'm there.

25 Q Mr. Taylor's value shown for Proposal B DeSoto

1 base case is a, is a net present value in 2012 dollars
2 of \$592 million to the bad. That's what that shows;
3 correct?

4 **A** That's what it shows.

5 **Q** Okay. How, how -- if you know, how could your
6 analyses come up with the \$75 million net cost and
7 Mr. Taylor's come up with a \$592 million net additional
8 cost?

9 **A** I'm not a subject matter expert on the
10 Response Surface Model, and Mr. Taylor should be up
11 next.

12 Tampa Electric's models are a whole system
13 look of everything that happens over 30 years, all the
14 fuel, all the expansion plans; and whereas Mr. Taylor's,
15 my understanding, analysis is a head-to-head of this
16 proposal versus that proposal. And I would defer to
17 him on any more detailed questions on -- and that's why
18 he's an independent evaluator, to have his own models
19 and confirm that the best choice for customers is
20 Polk 2 project.

21 **Q** You've been doing this a pretty long time,
22 haven't you?

23 **A** No. This is my, this is my first time.

24 **Q** I meant generation expansion planning.

25 **A** Yeah. I've been in and out of generation

1 expansion planning and have always worked with them.
2 Because if you're going to do financial analysis and
3 prove projects to the, to the senior executives, you
4 have to ask for a lot of analysis. And then you ask a
5 lot of questions: Why is it this, why is it that? So I
6 would say yes.

7 Q Okay. And in your response just, just now, 45
8 seconds ago, you said the way you look at it, you look
9 at the whole plan with all the units and all the moving
10 parts and then you bring that back on a 30-year CPWRR
11 basis; correct?

12 A Yes. That is what all the IOUs that I know of
13 model in generation planning.

14 Q That answered my next and last question.
15 Thank you, Mr. Rocha.

16 A Oh, thank you.

17 **CHAIRMAN BRISÉ:** Ms. Christensen?

18 **MS. CHRISTENSEN:** Yes, I have one clarifying
19 question.

20 **CROSS EXAMINATION**

21 **BY MS. CHRISTENSEN:**

22 Q Mr. Rocha, you had testified a little bit
23 earlier about there were some additional savings. You
24 had said something about 25 million due to putting off
25 CTs. Could you explain that a little bit in a little

1 bit more detail, because I'm not sure I was
2 understanding?

3 A I'm just -- help me with the 25. I don't
4 remember.

5 Q Well, it may not be 25. You said there were
6 some additional savings beyond the 75 million.

7 A Okay. We, we have never, and Mr. Wright was
8 alluding to it, we've never looked at other benefits
9 like transmission benefits may accrue to the system, and
10 efficiency and congestion and being able to run more
11 efficient units. And those times when dual fuel may be
12 needed, we would have more dual fuel capability added to
13 the state. And they're just hard to quantify those
14 numbers, so.

15 Q Thank you.

16 A All right.

17 **CHAIRMAN BRISÉ:** Staff?

18 **MS. BROWN:** Staff has a few questions, sir.

19 **CHAIRMAN BRISÉ:** Sure. Go right ahead.

20 **CROSS EXAMINATION**

21 **BY MS. BROWN:**

22 Q Mr. Rocha, is it your testimony that Polk
23 2-5 is the most cost-effective alternative to reliably
24 meet TECO's customers' needs?

25 A Yes, it is.

1 Q Could you please turn with us to document
2 number 13 of your Exhibit RJR-1?

3 A Yes.

4 Q Based on the table at the bottom of that page,
5 is it accurate to say that your analysis indicates that
6 the resource plan for Polk 2-5 going into service in
7 2017 is approximately \$75 million more cost-effective
8 than the resource plan proposal would be?

9 A Yes.

10 Q And that \$75 million value, is that
11 accumulated value?

12 A It's -- yes, it is.

13 Q Okay. At this time staff will be distributing
14 portions of staff's Exhibit Number 3, which was already
15 admitted into evidence, and it's TECO's response to
16 staff's interrog number 47. And we'll be referencing
17 pages 2 and pages 4, which is Bates stamp number 67 and
18 number 69.

19 Mr. Rocha, do you support TECO's response to
20 staff's interrog number 47?

21 A Yes.

22 Q And if you compare the highlighted columns,
23 cumulative columns, which is the last two sections on
24 page 67 and 68, would you agree that the difference is
25 the same as the value contained in your previously

1 discussed Exhibit RJR-1, document number 13? I'm sorry.
2 It's page 67 and 69. I'm sorry.

3 **A** Yes.

4 **Q** It is the same?

5 **A** Yes.

6 **Q** Okay. And a minute ago you also testified
7 that your analysis shows that Polk 2-5 is more
8 cost-effective than Proposal B. If you were to
9 calculate accumulated value on a year-by-year basis,
10 would you agree, subject to check, that Polk 2-5 would
11 be more cost-effective in every year when compared to
12 the resource plan with Proposal B?

13 **A** Those exhibits would show that, I know for a
14 fact, through 2017 that it is more cost-effective.

15 **Q** Okay.

16 **A** Each and every year as far as revenue
17 requirements.

18 **MS. BROWN:** Thank you, sir. No further
19 questions.

20 **CHAIRMAN BRISÉ:** Commissioners? All right.
21 Redirect.

22 **MR. WAHLEN:** Just a few redirect.

23 **REDIRECT EXAMINATION**

24 **BY MR. WAHLEN:**

25 **Q** Mr. Wright asked you some questions about the

1 fuel forecast, and I wonder if you could compare the
2 fuel efficiency of Proposal B with the Polk expansion
3 proposal.

4 **A** Sure. The, the heat rate is always a funny
5 thing because it's upside, it's kind of upside down to
6 folks on the generation side; it's for fuel buyers.

7 Essentially our project is about a 50%
8 efficiency, and a simple cycle 7F is less than 30%
9 efficient in converting heat from the fuel to
10 electricity.

11 **Q** Okay. Did I understand correctly that you
12 think that the Polk expansion is 30% more fuel efficient
13 than Proposal B?

14 **A** Yes.

15 **Q** How does that work when the fuel forecast and
16 prices go up? When you're doing your comparisons and
17 your sensitivities, if the fuel price goes up, does that
18 make the Polk plant more or less favorable as compared
19 to Proposal B?

20 **A** When fuel prices go up, efficiency matters.
21 Right? You want a very efficient car when fuel prices
22 are high. And so in the event that one would agree that
23 our fuel forecast now is conservative and that has more
24 potential to go up than down, then there is more
25 potential benefit to customers if prices go up.

1 Q Now Mr. Wright asked you a number of questions
2 about the proposed sale price of the DeSoto plant. He
3 asked you to characterize it relative to the capital
4 cost of the Polk expansion. Do you remember those
5 questions?

6 A Yes.

7 Q Could you talk a little bit about the life
8 cycle costs of the power plants and how significant
9 capital costs are in the total analysis?

10 A In our business, fuel is a big number when
11 you -- around a power plant. And just about every time
12 I've looked at just the initial capital dollars compared
13 to the total life cycle of variable O&M, FOM, and the
14 big number, fuel, it's less than 20%, sometimes 14%.

15 So if you just narrow in on that initial
16 capital cost, you're missing the whole big picture of
17 what that unit would do on our system.

18 Q Okay. Thank you. Mr. Wright asked you some
19 questions about conversations that might have occurred
20 between July 13th and July 27th, and July 13th was the
21 day the best and final offer was provided. I think you
22 said you had no conversations. Am I remembering
23 correctly?

24 A Yes.

25 Q Do you know whether there were any

1 conversations with anybody at TECO in DeSoto during that
2 time period?

3 **A** I, I do not know that. But July 13th in the
4 RFP was best and final offer. So I'm trying to
5 understand, you know, what would, conversation would
6 happen next after they gave us our best and final.

7 All bidders were put on the same basis, they
8 made their best and final, and we had two weeks to
9 evaluate them.

10 **Q** Okay. Thank you. And in a best and final
11 offer, would you expect there to be enough detail for
12 you to understand all of the key points in the best and
13 final offer?

14 **A** In this best and final offer that we saw, the
15 numbers that were available were sufficient to model
16 what they propose.

17 **Q** Okay. Thank you.

18 Now let me ask you one final question.
19 Mr. Wright talked about potentially delaying this plant
20 so we could see what happens with the fuel forecast and
21 things like that.

22 Are there any disadvantages or problems that
23 would occur if you delayed the purchase or the
24 construction of the Polk plant?

25 **A** Well, yes. And the biggest one is

1 reliability. This plant is needed. It provides fuel
2 savings. I mentioned 30, 30%. 75% of the project
3 comes, of the output comes from waste heat, reusing
4 that. It lowers our environmental emissions rates. And
5 every sensitivity we ran showed that Polk 2 was the most
6 cost-effective to customers. And so when you put all
7 that together, 2017 is the right time to put this
8 project in place to start accruing benefits to
9 customers.

10 Q If you delayed it beyond 2017, would that
11 eliminate potential fuel savings for customers?

12 A Yes.

13 Q Would it subject the company to the risk of
14 construction cost increases?

15 A Yes. I think Mr. Hornick described that
16 possibility.

17 Q And one last question. Mr. Rocha, just in
18 general terms, do you think it makes sense to buy a
19 power plant in '13 to meet a need in '17?

20 A In this case I would say no, because, again,
21 it is not the most cost-effective option. And customers
22 would face, if -- presuming full cost recovery, costs
23 for those four years prior to the reserve margin need.

24 MR. WAHLEN: Thank you. Those are my
25 questions. And we would move Exhibits 17 and 20 into

1 the record.

2 **CHAIRMAN BRISÉ:** All right. At this time
3 we'll move Exhibits 17 and 20 into the record.

4 (Exhibits 17 and 20 admitted into the record.)

5 Mr. Wright?

6 **MR. WRIGHT:** I move 19 -- sorry -- 29, 30, and
7 31, Mr. Chairman.

8 **CHAIRMAN BRISÉ:** All right. At this time we
9 will move 29, 30, and 31 into the record.

10 (Exhibits 29, 30, and 31 admitted into the
11 record.)

12 All right. Thank you, Mr. Rocha.

13 **THE WITNESS:** Yes, Mr. Chairman.

14 **CHAIRMAN BRISÉ:** Please call your next
15 witness.

16 **MR. BEASLEY:** We call Alan S. Taylor.

17 Whereupon,

18 **ALAN S. TAYLOR**

19 was called as a witness on behalf of Tampa Electric
20 Company and, having been duly sworn, testified as
21 follows:

22 **DIRECT EXAMINATION**

23 **BY MR. BEASLEY:**

24 Q Mr. Taylor, you were sworn earlier today in
25 this proceeding; correct?

1 **A** Yes, I was.

2 **Q** Would you please state your name and business
3 address?

4 **A** My name is Alan Taylor. My business address
5 is 821 15th Street, Boulder, Colorado 80302.

6 **Q** Mr. Taylor, by whom are you employed and what
7 position do you hold?

8 **A** I'm employed by Sedway Consulting,
9 Incorporated, and I'm the President of the company.

10 **Q** Thank you. Did you prepare and submit in this
11 proceeding prepared direct testimony of Alan S. Taylor
12 filed on September 12th, 2012?

13 **A** Yes, I did.

14 **Q** Do you have any revisions to your testimony?

15 **A** No, I do not.

16 **Q** If I were to ask you the questions contained
17 in that testimony, would your answers be the same?

18 **A** Yes, they would.

19 **MR. BEASLEY:** I would ask that Mr. Taylor's
20 testimony be inserted into the record as though read.

21 **CHAIRMAN BRISÉ:** At this time we will insert
22 Mr. Taylor's prefiled testimony into the record as
23 though read.

24 **MR. BEASLEY:** Thank you.

25

1 **BY MR. BEASLEY:**

2 **Q** Did you also prepare the exhibit that
3 accompanied your testimony, which is identified as
4 AST-1 and marked as hearing Exhibit 18?

5 **A** Yes, I did.

6 **MR. BEASLEY:** I would ask that Mr. Taylor's
7 exhibit be recognized as Exhibit 18.

8 **CHAIRMAN BRISÉ:** Sure. We will mark
9 Mr. Taylor's exhibit as Exhibit 18.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **PREPARED DIRECT TESTIMONY**

3 **OF**

4 **ALAN S. TAYLOR**

5 **ON BEHALF OF TAMPA ELECTRIC COMPANY**

6
7 **Q.** Please state your name and business address.

8
9 **A.** My name is Alan S. Taylor, and my business address is
10 821 15th Street, Boulder, Colorado, 80302.

11
12 **Q.** By whom are you employed and what position do you hold?

13
14 **A.** I am President of Sedway Consulting, Inc. ("Sedway
15 Consulting").

16
17 **Q.** Please describe your duties and responsibilities in that
18 position.

19
20 **A.** I perform consulting engagements in which I assist
21 utilities, regulators, and customers with the challenges
22 that they may face in today's dynamic electricity
23 marketplace. My area of specialization is in the
24 provision of independent evaluation services in power
25 supply solicitations and in the associated economic and

1 financial analysis of power supply options.

2

3 **Q.** Please describe your education and professional
4 experience.

5

6 **A.** I earned a Bachelor of Science Degree in energy
7 engineering from the Massachusetts Institute of
8 Technology and a Masters of Business Administration from
9 the Haas School of Business at the University of
10 California, Berkeley, where I specialized in finance and
11 graduated valedictorian.

12

13 I have worked in the utility planning and operations area
14 for 25 years, predominantly as a consultant specializing
15 in integrated resource planning, competitive bidding
16 analysis, utility industry restructuring, market price
17 forecasting, and asset valuation. I have testified
18 before state commissions in proceedings involving
19 resource solicitations, environmental surcharges, and
20 fuel adjustment clauses.

21

22 I began my career at Baltimore Gas & Electric Company
23 (BG&E), where I performed efficiency and environmental
24 compliance testing on the utility system's power plants.
25 I subsequently worked for five years as a senior

1 consultant at Energy Management Associates ("EMA", now
2 New Energy Associates), training and assisting over two
3 dozen utilities in their use of EMA's operational and
4 strategic planning models, PROMOD III and PROSCREEN II.
5 During my graduate studies, I was employed by Pacific Gas
6 & Electric Company ("PG&E"), where I analyzed the
7 utility's proposed demand side management ("DSM")
8 incentive ratemaking mechanism, and by Lawrence Berkeley
9 Laboratory ("LBL"), where I evaluated utility regulatory
10 policies surrounding the development of brownfield
11 generation sites.

12
13 Subsequently, I worked at PHB Hagler Bailly (and its
14 predecessor firms) for ten years, serving as a vice
15 president in the firm's Global Economic Business Services
16 practice and as a senior member of the Wholesale Energy
17 Markets practice of PA Consulting Group, when that firm
18 acquired PHB Hagler Bailly in 2000. In 2001, I founded
19 Sedway Consulting, Inc. and have continued to specialize
20 in economic analyses associated with electricity
21 wholesale markets. Since the founding of Sedway
22 Consulting, I have provided independent evaluation
23 services in over two dozen electric utility conventional
24 and renewable resource solicitations.

25

1 **Q.** What is the purpose of your direct testimony?
2

3 **A.** Sedway Consulting was retained by Tampa Electric Company
4 (Tampa Electric) to provide independent evaluation
5 services in the utility's 2012 solicitation for
6 competitive power supplies. As the principal consultant
7 on the project, I helped with the development of the
8 Request for Proposals ("RFP"), reviewed Tampa Electric's
9 solicitation process, and performed a parallel and
10 independent economic evaluation of both Tampa Electric's
11 Next Planned Generating Unit ("NPGU") and the proposals
12 that were received by Tampa Electric in response to the
13 utility's solicitation. Ultimately, I concluded that
14 Tampa Electric's Repowering of Polk 2-5 into a combined-
15 cycle ("CC") facility described in Tampa Electric's RFP,
16 with an in-service date of January, 2017, represented the
17 most cost-effective resource for meeting Tampa Electric's
18 resource needs for 2017.

19
20 The purpose of my direct testimony is to describe my role
21 as an independent evaluator and present my findings. I
22 will discuss the process and tools that I used to conduct
23 Sedway Consulting's independent economic evaluation.
24 Based on the results of my independent evaluation, I
25 concluded that Tampa Electric's Polk Power Station

1 Repowering option is more cost-effective than the
2 proposed power purchase agreement ("PPA") and asset sale
3 alternatives that were submitted in Tampa Electric's
4 resource solicitation.

5
6 **Q.** Are you sponsoring any exhibits in this case?

7
8 **A.** Yes. I am sponsoring Exhibit No. AST-1 consisting of two
9 documents, which are attached to my direct testimony:

10 Document No. 1 Resume of Alan S. Taylor

11 Document No. 2 Sedway Consulting's Independent
12 Evaluation Report

13
14 **Q.** Please describe the role you performed as an independent
15 evaluator in Tampa Electric's 2012 RFP project.

16
17 **A.** As the independent evaluator in Tampa Electric's 2012
18 power supply solicitation, I reviewed Tampa Electric's
19 2012 Ten-Year Site Plan and the utility's modeling
20 processes pertaining to its use of Planning and Risk,
21 Tampa Electric's detailed production costing model. I
22 participated in the March 21, 2012 Pre-Issuance
23 Conference Call and attended the April 4, 2012 Bidders
24 Conference in Tampa. Before receiving the proposals, I
25 requested that Tampa Electric run its Planning and Risk

1 model and provide production costing results that I could
2 use to calibrate Sedway Consulting's resource evaluation
3 model. I participated in the opening of proposal
4 packages in Tampa on the Proposal Due Date (May 22,
5 2012), retained an electronic copy of each submitted
6 proposal, and evaluated the economic/pricing information
7 from each proposal. Tampa Electric conferred with me on
8 a number of issues relating to proposal RFP-noncompliance
9 decisions, interpretation of proposal information,
10 clarification requests, and economic evaluation
11 assumptions. As the evaluation progressed, Tampa
12 Electric and I discussed appropriate courses of action
13 and modeling assumptions. Using Sedway Consulting's
14 Response Surface Model ("RSM"), I evaluated Tampa
15 Electric's NPGU and each submitted proposal and assessed
16 their overall costs. I compared Sedway Consulting's
17 ranking and results with those of Tampa Electric to
18 confirm consistency of assumptions and concurrence of
19 conclusions, and I documented the entire process in an
20 independent evaluation report.

21
22 **Q.** You stated that you were involved in the development of
23 the RFP. What did your involvement entail?
24

25 **A.** As the independent evaluator, I reviewed draft versions

1 of the RFP document, participated in several discussions
2 by phone, and was given the opportunity to provide my
3 input and suggestions for improving the RFP.
4

5 **Q.** Do you believe that Tampa Electric's RFP was a reasonable
6 document for soliciting proposals?
7

8 **A.** Yes. As one who has developed over a dozen such utility
9 resource RFPs, I believe that Tampa Electric's RFP struck
10 a good balance between being sufficiently detailed
11 without being burdensome on the respondent. With its
12 RFP, Tampa Electric released a draft PPA that provided
13 bidders with a clear understanding of the general
14 business arrangement that Tampa Electric contemplated.
15

16 **Q.** Do you believe that Tampa Electric's evaluation process
17 was conducted fairly?
18

19 **A.** Yes. The proposals and Tampa Electric's NPGU were
20 evaluated on an equal footing, with consistent
21 assumptions applied to all resource options.
22

23 **Q.** Please describe Sedway Consulting's RSM model and its use
24 in Tampa Electric's resource solicitation.
25

1 **A.** The RSM is a spreadsheet model that I have used in dozens
2 of solicitations around the country. It is a relatively
3 straightforward tool that allows one to independently
4 assess the cost impacts of different generating or
5 purchase resources for a utility's supply portfolio.
6 Most of the evaluation analytics in the RSM involve
7 calculations that are based entirely on my input of
8 proposal costs and characteristics. A small part of the
9 model examines system production cost impacts and needs
10 to be calibrated to simulate a specific utility's system.
11 In the case of the Tampa Electric solicitation, in the
12 weeks prior to the proposal opening, I requested that
13 Tampa Electric execute specific sets of runs with its
14 detailed production cost model. With the results of
15 these runs, I was able to calibrate the RSM to
16 approximate the production cost results Tampa Electric's
17 Planning and Risk model would produce in a subsequent
18 evaluation of any proposals or self-build options that
19 Tampa Electric might receive. Thus, I would not have to
20 rely on Tampa Electric's modeling of a proposal or self-
21 build option; instead, I would be able to insert my own
22 inputs into my own model and independently evaluate the
23 economic impact of any particular resource. In short,
24 the RSM provides an independent assessment to help ensure
25 against the inadvertent introduction of significant

1 mistakes that could cause the evaluation team to reach
2 the wrong conclusions.

3
4 **Q.** How is the RSM an independent analytical tool if it is
5 based on initial Planning and Risk results?

6
7 **A.** As I noted above, most of the calculations performed by
8 the RSM are not based on Planning and Risk results in any
9 way. There are two main categories of costs that are
10 evaluated in a resource solicitation: fixed costs and
11 variable costs. The costs in the first category - the
12 fixed costs of a proposal - are calculated entirely
13 separately in the RSM, with no reliance on the Planning
14 and Risk model for these calculations. The second
15 category - variable costs - has two parts: (1) the
16 calculation of a resource's variable dispatch rates and,
17 (2) the impact that a resource with such variable rates
18 is likely to have on Tampa Electric's total system
19 production costs. As with the fixed costs, a proposal's
20 variable dispatch rates are calculated entirely
21 separately in the RSM, with no basis or reliance on the
22 Planning and Risk model. It is only in the final
23 subcategory - the impact that a resource is likely to
24 have on system production costs - that the RSM has any
25 reliance on calibrated results from Planning and Risk.

1 **Q.** Please elaborate on that area of calculations where the
2 RSM is affected by the Planning and Risk calibration
3 runs.

4
5 **A.** This is the area of system production costs. These costs
6 represent the total fuel, variable operation and
7 maintenance (O&M), emission, and purchased power energy
8 costs that Tampa Electric incurs in serving its
9 customers' load. Given Tampa Electric's load forecast,
10 the existing Tampa Electric supply portfolio (i.e., all
11 current generating facilities and purchase power
12 contracts), and many specific assumptions about future
13 resources and fuel costs, Planning and Risk simulates the
14 dispatch of Tampa Electric's system and forecasts total
15 production costs for each month of each year of the study
16 period. At the outset of the solicitation project, the
17 RSM was populated with monthly system production cost
18 results that were created by the Planning and Risk
19 calibration runs.

20
21 **Q.** What did the RSM do with this production cost
22 information?

23
24 **A.** Once incorporated into the RSM, the production cost
25 information allowed the RSM to answer the question: How

1 much money (in monthly total production costs) is Tampa
 2 Electric likely to save if it acquires a proposed
 3 resource, relative to a reference resource? The use of a
 4 reference resource simply allowed a consistent point of
 5 comparison for evaluating all proposals and Tampa
 6 Electric's self-build options. As a reference resource,
 7 I used a hypothetical gas-fired resource with a very high
 8 variable dispatch rate associated with a heat rate of
 9 25,000 Btu/kWh. In fact, I could have picked any
 10 variable dispatch or heat rate for the reference resource
 11 and obtained the same relative ranking of proposals out
 12 of the RSM. The cost of the reference resource has no
 13 impact on the relative results - it is merely a
 14 consistent reference point.

15
 16 **Q.** Can you provide a numerical example that shows how the
 17 RSM works?

18
 19 **A.** Certainly. Assume that a utility has a one-year resource
 20 need of 500 MW and must select one of the two following
 21 proposals:

	<u>Proposal A</u>	<u>Proposal B</u>
22		
23	Capacity: 500 MW	500 MW
24	Capacity Price: \$9.00/kW-month	\$5.50/kW-month
25	Energy Price: \$40/MWh	\$60/MWh

1 For both proposals, the RSM has already calculated the
2 fixed costs (and represented them in the capacity price)
3 and the variable costs (and represented them in the
4 energy price). Proposal A is more expensive in terms of
5 fixed costs, but Proposal B is more expensive on an
6 energy cost basis. The RSM calculates the final piece of
7 the economic analysis - the different impacts on system
8 production costs - to determine which proposal is less
9 expensive in a total sense for the utility system as a
10 whole.

11
12 Assume that the 25,000 Btu/kWh reference unit has a
13 variable cost of \$150/MWh and that the RSM has been
14 calibrated and populated with the following production
15 cost information:

16
17 For a 500 MW proxy resource, the utility's one-year total
18 system production costs are:

19
20 \$900 million for a \$150/MWh energy price reference
21 resource

22 \$894 million for a \$60/MWh energy price resource
23 (Proposal B)

24 \$876 million for a \$40/MWh energy price resource
25 (Proposal A)

1 Thus, the energy savings (relative to the selection of a
 2 \$150/MWh reference resource) are \$24 million for Proposal
 3 A with its \$40/MWh energy price and \$6 million for
 4 Proposal B with its \$60/MWh energy price. In its
 5 proposal ranking process, the RSM converts all production
 6 cost savings into a \$/kW-month equivalent value so that
 7 the savings can be deducted from the capacity price to
 8 yield a final net cost (in \$/kW-month) for each proposal.
 9 Converting the energy savings in this numerical example
 10 into \$/kW-month equivalent values yields the following:

11
 12 \$24 million / (500 MW * 12 months) = \$4.00/kW-month
 13 \$6 million / (500 MW * 12 months) = \$1.00/kW-month
 14

15 The RSM calculates the net cost of both proposals by
 16 subtracting the energy cost savings from the fixed costs:

17

	<u>Proposal A</u>	<u>Proposal B</u>
18 Capacity Price:	\$9.00/kW-month	\$5.50/kW-month
19 Energy Cost Savings:	\$4.00/kW-month	\$1.00/kW-month
20 Net Cost:	\$5.00/kW-month	\$4.50/kW-month

21
22

23 Proposal B is less expensive. This can be confirmed
 24 through a total cost analysis as well:
 25

1 Proposal A will require total capacity payments of \$54
2 million (= 500 MW x \$9.00/kW-month x 12 months), and
3 Proposal B will require \$33 million (= 500 MW x \$5.50/kW-
4 month x 12 months). Thus, Proposal A has fixed costs
5 that are \$21 million more than Proposal B.

6
7 Proposal A will provide \$18 million more in energy cost
8 savings (= \$24 million - \$6 million); however, this is
9 not enough to warrant paying \$21 million more in fixed
10 costs. Therefore, Proposal B is the less expensive
11 alternative.

12
13 Note that the RSM is described in more detail in the
14 independent evaluation report that is attached to my
15 direct testimony as Document No. 2 of my exhibit.

16
17 **Q.** With that understanding of the RSM process, what did you
18 do to calibrate the RSM to Planning and Risk?

19
20 **A.** I reviewed the production cost information that Tampa
21 Electric provided at the start of the project and
22 confirmed that the production costs were, for the most
23 part, exhibiting smooth, correct trends (i.e., they were
24 increasing where they should be increasing and declining
25 where they should be declining). Having verified that

1 the RSM production cost values were "smooth," I was
2 confident that inputting variable cost parameters into
3 the models for similar proposals would yield similar
4 production cost results. Although the RSM is not a
5 detailed model and could not simulate Tampa Electric's
6 production costs with Planning and Risk's accuracy, in
7 the end (after accounting for future portfolio
8 composition and future unit revenue requirement
9 methodology differences), the independent RSM evaluation
10 results tracked Planning and Risk's results reasonably
11 well.

12
13 **Q.** Once the RSM was calibrated, what was the next step?

14
15 **A.** I flew to Tampa for the Proposal Due Date, opened all
16 proposal packages, and retained an electronic copy of
17 each proposal. I read each proposal and participated in
18 discussions with Tampa Electric about interpreting the
19 proposals, identifying areas requiring clarification, and
20 assessing each proposal's compliance with the RFP's
21 Minimum Requirements. Tampa Electric communicated with
22 proposers to seek clarification and corrections to
23 uncertain areas of the proposals, copying me on all email
24 correspondence and encouraging bidders to do the same.
25

1 I incorporated pricing and operational information from
2 each proposal into the RSM. Such information included
3 contract commencement and expiration dates, summer and
4 winter capacity, capacity pricing, heat rates, fuel
5 supply assumptions, variable O&M charges, start-up costs,
6 expected forced outage hours, and expected planned outage
7 hours. Most of this information was directly inputted
8 into the RSM. After the initial part of the evaluation,
9 Tampa Electric provided Sedway Consulting with its own
10 modeling results so that Sedway Consulting could cross-
11 check all key modeling assumptions and outputs and ensure
12 consistency with the information in the RSM.

13
14 On June 21, 2012, Tampa Electric and Sedway Consulting
15 discussed the evaluation results of the original
16 proposals and agreed that several offers should be
17 shortlisted. The bidders of these offers were engaged in
18 conference calls (which Sedway Consulting monitored) to
19 discuss their bids and respond to questions. These
20 bidders were provided an opportunity to provide best-and-
21 final offers on July 13, 2012.

22
23 **Q.** What were the results of Sedway Consulting's RSM
24 analysis?
25

1 **A.** Using the RSM, Sedway Consulting was able to compare the
2 economics of Tampa Electric's NPGU and each of the
3 proposed resource options (both the original bids and the
4 best-and-final offers). That comparison entailed a
5 calculation of the net present value of each option from
6 2013 through 2046 and accounted for 1) resources that
7 would need to "fill in" behind options that expired
8 before 2046 and 2) differences in the capacity of each
9 option proposed. The evaluation was performed for a base
10 case set of fuel price and load forecast assumptions, as
11 well as a low fuel price/low load scenario and a high
12 fuel price/high load scenario. Tampa Electric's NPGU was
13 found to be \$69 million (cumulative present value of
14 revenue requirements - "CPVRR") less expensive than the
15 next best resource's best-and-final offer under base case
16 assumptions. The results, ranking of resources and
17 additional scenarios are described in detail in Sedway
18 Consulting's independent evaluation report that is
19 attached as Document No. 2 of my exhibit.

20

21 **Q.** What do you conclude about Tampa Electric's solicitation?

22

23 **A.** I conclude that Tampa Electric's NPGU is the most cost-
24 effective resource for meeting Tampa Electric's 2017
25 capacity needs and concur with Tampa Electric's decision

1 to move forward with that project. The solicitation
2 process yielded the best results for Tampa Electric's
3 customers while treating proposers fairly. The RFP was
4 sufficiently detailed to provide necessary information to
5 proposers. The economic evaluation methodology and
6 assumptions were appropriate and unbiased, and the
7 independent evaluation procedures provided a cross-check
8 of Tampa Electric's proposal representation in Planning
9 and Risk and confirmed Tampa Electric's conclusions.
10 Finally, I conclude that Tampa Electric's NPGU is \$69
11 million CPVRR less expensive than the next best offered
12 resource under base case assumptions.

13
14 **Q.** Does this conclude your direct testimony?

15
16 **A.** Yes, it does.
17
18
19
20
21
22
23
24
25

1 BY MR. BEASLEY:

2 Q Would you please summarize your direct
3 testimony?

4 A Before I get to the summary, if I could point
5 out that I believe there has been a correction, perhaps
6 that's already been filed with the Commission, on the
7 second document of the exhibit.

8 Q Would you like to identify that for us,
9 please?

10 A Just to be sure and clear. On page 34 of the
11 original filed exhibit there are two numbers that were
12 changed in a minor way.

13 In Table A2 it was to reporting clarification.
14 The capacity, levelized capacity price for Proposal B,
15 which is a confidential number, actually increased in
16 the revised number by a penny, and the variable O&M
17 price or charge decreased by a penny.

18
19
20
21
22
23
24
25

1 **BY MR. BEASLEY:**

2 **Q** Thank you. With that change, would you please
3 summarize your direct testimony?

4 **A** Yes. Commissioners, good afternoon. Again,
5 I'm Alan Taylor, the President and founder of Sedway
6 Consulting, a firm that specializes in providing
7 independent evaluation services in utility power supply
8 solicitations.

9 In summarizing my testimony, I'd like to cover
10 three general areas: One, give you a sense of my
11 background and the, and the firm's capabilities;
12 secondly, talk about exactly what tasks Sedway
13 Consulting undertook in Tampa Electric's current
14 solicitation; and third, discuss the findings and
15 overall conclusions from our work.

16 My background is one of kind of a blend of
17 engineering and business. I've got an undergraduate
18 degree from MIT in energy engineering and an MBA from
19 UC Berkeley with a specialization in finance. I've been
20 in the utility consulting business for almost 30 years;
21 in the early stages really dealing with production cost
22 models and utility simulation models, using them and
23 training others, regulators and utility planners, in how
24 to use these systems.

25 I've done a lot of work in integrated resource

1 planning and environmental compliance planning, and
2 really in the last 15 years or so a lot of concentrated
3 work in providing independent evaluation services in
4 utility power supply solicitations.

5 I've overseen dozens of solicitations around
6 the country. I've sat in this chair a number of times
7 with Florida solicitations involving Florida Power &
8 Light and Florida Progress.

9 As far as the work I've done around the U.S.,
10 I've reviewed over a thousand power supply proposals.
11 So I'm very familiar with the evaluation techniques and
12 processes.

13 Sedway Consulting was retained at the start of
14 Tampa Electric's process. And I reviewed the RFP,
15 provided comments, I participated in the pre-release
16 call in April, and then also flew to Tampa and monitored
17 directly the bidders' conference.

18 Later on, I worked with Tampa Electric to
19 understand their modeling systems and the assumptions
20 and locked down all those assumptions prior to the bids
21 being received in May. I also was on-site in Tampa when
22 the bids were received. In fact, I did the opening of
23 the proposals; retrieved my own electronic copy of the
24 proposal before turning things over to Tampa Electric
25 for their evaluation.

1 I also monitor all of the communications back
2 and forth either by phone or by being copied on emails.
3 And I conducted an independent evaluation of all the
4 proposals that were received using Sedway Consulting's
5 proprietary model, the Response Surface Model, or RSM.

6 As with all solicitations, I was free to
7 employ whatever evaluation methodologies and procedures
8 that I deemed appropriate to ensure a fair and robust
9 evaluation of the offers.

10 My conclusion of the analysis was that Tampa
11 Electric's Polk 2-5 was the most cost-effective resource
12 for meeting Tampa Electric's 2017 resource need. The
13 next best option was more than \$69 million more
14 expensive on a present worth of revenue requirements
15 basis.

16 I believe in total that the RFP itself was
17 sufficiently detailed, the solicitation process was
18 conducted fairly, and I concur with Tampa's decision,
19 Tampa Electric's decision to move ahead with the Polk
20 2-5 conversion. That concludes my summary.

21 **MR. BEASLEY:** Thank you. We tender Mr. Taylor
22 for cross-examination.

23 **CHAIRMAN BRISÉ:** Mr. Wright?

24 **MR. WRIGHT:** Thank you, Mr. Chairman.

25 **CROSS EXAMINATION**

1 BY MR. WRIGHT:

2 Q Good afternoon, Mr. Taylor.

3 A Good afternoon, Mr. Wright.

4 Q In evaluating generation expansion options, do
5 you agree that a chosen option should be demonstrated to
6 be the best option over a wide range of sensitivities?

7 A Yes.

8 Q And would you agree that, that the wider the
9 range of sensitivities over which an option is shown to
10 be the best the more robust the results are?

11 A It kind of depends on the range of
12 possibilities that are explored. I think it's important
13 for ultimate decision-makers to have numbers that are,
14 are focused, and I don't know that necessarily more is
15 better as far as providing hundreds or -- several
16 hundred numbers can, can really just make things kind of
17 fuzzy.

18 Q Do you agree that, that utilities should
19 evaluate purchase options, either PPAs or asset
20 purchases, with the same rigor with which they evaluate
21 self-build options?

22 A I believe that -- I guess my quick answer
23 would be no in the sense that I believe that it's best
24 to provide a first screening cut at proposals. And if
25 there are proposals that are found to be far out of the

1 money and not very competitive, they don't require the
2 rigor and investigative analysis that those that are
3 closer and more competitive to serve.

4 Q And with respect to that second category there
5 that you just mentioned, those that are somewhat closer
6 to the, to the cost of the self-build option, would you
7 agree that such options should be evaluated with the
8 same rigor that the utility evaluates its self-build
9 options?

10 A Yes.

11 Q And you did personally review all the
12 proposals received in response to Tampa Electric's RFP;
13 correct?

14 A Yes, I did.

15 Q This may be obvious since the company did in
16 fact short list DeSoto, but would you agree that DeSoto
17 was a qualified bidder?

18 A Yes, it was.

19 Q And that the DeSoto facility is a viable unit
20 that has a proven operating record in the Florida
21 wholesale market?

22 A I certainly considered it to be a, a well
23 thought out proposal. I am not familiar with the
24 operating history of the resource beyond the statements
25 that DeSoto made in its own proposal submission, but I

1 took those at face value.

2 Q Did you speak with representatives of DeSoto
3 Generating Company during the process?

4 A I was on the phone during the short listing
5 phone call that was made with DeSoto, as was the case
6 with all of the short listing phone calls that were
7 made. So, yes, I was monitoring those calls and able to
8 contribute and discuss things as appropriate.

9 Q Were you involved in -- did you monitor or
10 participate in any phone calls between Tampa Electric
11 and DeSoto regarding clarifications as to DeSoto's
12 original proposal?

13 A I believe in the short listing process there
14 was a certain amount of discussion for some minor
15 clarifications, and I was party to that, yes.

16 Q Same question, did you -- or similar question,
17 different time period. Did you participate in any
18 communications, let's say telephone conversations, that
19 involved Tampa Electric representatives and DeSoto
20 representatives with respect to DeSoto's best and final
21 offer?

22 A I believe there was a call that occurred after
23 the final decision to debrief DeSoto, and I was involved
24 with that phone call.

25 Q Okay. And when you say after the final

1 decision, that was on or after July 27; is that correct?

2 **A** That's correct.

3 **MR. WRIGHT:** Okay. Thanks. Mr. Chairman, I
4 would like to ask if Ms. Hopkins would please
5 redistribute what's been marked as Exhibit 30.

6 **CHAIRMAN BRISÉ:** Sure.

7 **MR. WRIGHT:** DeSoto's best and final offer.

8 **CHAIRMAN BRISÉ:** That is a confidential
9 document?

10 **MR. WRIGHT:** Yes, sir. It's the first of the
11 two confidential documents.

12 **BY MR. WRIGHT:**

13 **Q** Mr. Taylor, you've seen this document before,
14 I trust?

15 **A** Yes, I have.

16 **Q** Okey-doke. I want to ask you a couple of
17 questions basically identical to those that I asked
18 Mr. Rocha.

19 If you could please look at the content there
20 on lines 10 through 12, but again cautioning you not to
21 articulate exactly what, what it says there.

22 First question, did you understand the content
23 of what's there as implying that it would remove the
24 risk associated with transmission costs from Tampa
25 Electric and put it on DeSoto?

1 **A** I did not. I assumed that this was simply
2 DeSoto retaining the energy dispatch rights, but that it
3 would become an owned asset of Tampa Electric and
4 therefore transmission upgrades would be, would be
5 necessary.

6 **Q** But I wanted to specifically ask you about the
7 wheeling costs.

8 **A** Uh-huh.

9 **Q** Same, same question, did you not understand
10 that it would remove the wheeling charges associated
11 with the capacity from Tampa Electric's account?

12 **A** Off the top of my head, I don't recall the
13 adjustment that I made in modeling this second best and
14 final offer transaction.

15 **Q** Same question with respect to firm gas
16 transportation costs. Did you understand that it
17 would -- do you understand one way or the other whether
18 the proposal articulated there would remove the gas
19 transportation cost liability from Tampa Electric's
20 account?

21 **A** I am pretty sure that I left the firm gas
22 transportation costs in there because I assumed that
23 with Tampa Electric being the owner of the facility,
24 they would be required to have the firm gas
25 transportation contract in place, and that the, what is

1 being contemplated here would be DeSoto retaining energy
2 dispatch rights but not necessarily the cost
3 responsibility for the firm gas contract.

4 Q Did you ask anyone at DeSoto to clarify the
5 intent of these provisions?

6 A No, I did not.

7 Q Do you know whether anyone at Tampa Electric
8 did?

9 A I do not believe so. If they had, it probably
10 would have been via an e-mail conversation that I would
11 have been copied on. And the primary reason here is I
12 was finding that even with the best and final offer
13 improvements, the resource was not looking very
14 competitive. So, again, there wasn't a need to drill
15 down into some of the finer points.

16 Q And when you say -- you made the statement
17 "not looking very competitive." That was in your
18 analysis; correct?

19 A That's correct.

20 Q Okay. Now, I did want to, want to move on to
21 that. And I guess the easy way to get to the summary
22 result there is to look at your Table A6. That, that is
23 the summary of the cost-effectiveness of all the
24 proposals versus, versus Polk; correct?

25 A Yes, it is.

1 **Q** Okay. And in your base case analysis you show
2 for Proposal B, which as we all acknowledge is DeSoto, a
3 net additional cost of the DeSoto project of
4 \$592 million versus Polk; correct?

5 **A** That's correct.

6 **Q** Okay. I'm going to ask you the same question
7 I asked Mr. Rocha. How could you get such different
8 results than Mr. Rocha's analysis got?

9 **A** Sedway Consulting employed a process with the
10 Response Surface Model whereby we did a head-to-head
11 competition on a standalone basis of each of the offers.
12 This is a procedure that we've adopted across the
13 country to ensure that there isn't something in the
14 system analysis that a utility commonly performs, as did
15 Tampa Electric, that might trigger some odd results.

16 I have seen in other solicitations, for
17 example, where a small 25-megawatt resource might be
18 extremely expensive but, for whatever reason, it fits
19 into a particular niche of an expansion plan and moves
20 another large, rather large unit out by year and causes
21 some amazing cost savings that really are not likely to
22 be achieved given the uncertainties associated with
23 year-to-year load growth and, and a variety of issues.

24 Computers are very good about calculating
25 things on a very, very specific and, and discrete

1 criterion. So generation expansion plans that are being
2 developed by computers, or even by the people who are
3 looking at a 20.0% reserve margin requirement, will move
4 some of these large units around and create some effects
5 that, that blur the true economics of a resource.

6 So that's why I have performed as a cross
7 check to what has been done by Tampa Electric a
8 standalone analysis where Tampa Electric effectively
9 looked at Proposal B, the DeSoto acquisition, and the
10 Polk 2-5 conversion on top of each other for most of the
11 30-year period that was being analyzed.

12 In my case, I looked at a very stark
13 comparison of the DeSoto transaction for the full 30
14 years, and the next point generating unit, the Polk
15 2-5 conversion, for a full 30 years.

16 So the two comparisons there were looking
17 explicitly at the economics of those resources, and
18 that's, that's why the comparison comes up with a more
19 stark relief and a more, more significant comparison
20 between the, the Proposal B and the next point
21 generating unit.

22 Q Okay. You mentioned computers. I noticed in
23 reading your testimony and resumé that you used to work
24 with computer production simulations a lot, didn't you,
25 PROMOD and so on at EMA?

1 **A** I certainly did, yes.

2 **Q** And do you agree with Mr. Rocha's testimony
3 that, that at least for Florida investor-owned utilities
4 the standard mode of analysis is a 30-year CPWRR
5 analysis?

6 **A** I would agree with that, yes.

7 **Q** Okay. And would you agree that Mr. Rocha's
8 analyses best reflect the real cost to Tampa Electric of
9 the alternate expansion plans evaluated?

10 **A** I don't know if that is necessarily true.
11 The, the issue with the RFP was one of deciding whether
12 Tampa Electric should move ahead with the alternative
13 that they put on the table or whether there might be
14 market resources, other bidders that could step in and
15 provide a more cost-effective alternative to that next
16 planned generating unit. That was kind of the question
17 that I sought to answer in my analysis.

18 Tampa Electric looked at a system analysis
19 where their next planned generating unit was in a fluid
20 position of being able to be shifted or deferred, and at
21 the initial state of the project that was not really
22 something that was discussed.

23 The, the recognition was that the need was in
24 2017 and that's when the resource was contemplated to be
25 developed. What they ultimately showed in their numbers

1 with a fluid concept of allowing the resource to be
2 deferred was something that pushed it out a year or two
3 by indeed acquiring the DeSoto CT asset.

4 Q In your testimony, and I think in your
5 evaluation report as well, you talk about using fill-in
6 units for certain proposals.

7 A Correct.

8 Q Did you use any fill-in units in evaluating
9 the DeSoto purchase option?

10 A No. The fill-in units were associated with
11 power purchase agreements that had a particular
12 termination date. So if there was a ten-year PPA, then
13 in order to be able to compare that to a 30-year next
14 planned generating unit, there was a need to fill in
15 behind it for years 11 through 30.

16 In the case of the DeSoto transaction, it
17 already was a life of asset transaction that was assumed
18 to be operable clear out through the year 2046, the end
19 of the analysis.

20 Q Thank you. And your analysis assumed, did it
21 not, that DeSoto would come into Tampa Electric's system
22 as a firm resource June 1 of 2013; correct?

23 A That's correct.

24 Q Just to confirm a little bit of earlier
25 testimony, you got your wheeling costs from FPL's OASIS

1 tariff?

2 **A** I believe I got it from DeSoto's proposal
3 itself.

4 **Q** Okay. And did you get your firm gas
5 transportation costs from Mr. Caldwell or his group?

6 **A** Yes. I received two estimates from his group,
7 a low estimate and then a more generous one. And in the
8 case of all the bidders, I selected the lowest ones.

9 **Q** And I think based on your earlier testimony
10 that I know the answers to these questions. There
11 aren't many. I'm just going to go ahead and ask you.

12 Did, did your analysis assign any value to
13 incremental reliability that would be made available by
14 having DeSoto online as early as 2013?

15 **A** Effectively it did in the sense that I
16 calculated energy savings in the years 2013 and forward
17 all the way through the end of the study period in 2046
18 for the DeSoto asset. So there were energy savings
19 associated with Tampa Electric having dispatch rights as
20 of June.

21 **Q** And those energy savings would accrue by, by
22 being able to dispatch DeSoto ahead of other CT assets?

23 **A** That's correct principally.

24 **Q** And also probably avoiding some purchases?

25 **A** Correct.

1 **Q** That's really an economic gain, not a
2 reliability gain; correct?

3 **A** Correct. In, in the sense that there is
4 sufficient capacity for meeting Tampa's current load
5 forecast out until 2017, there was no additional value
6 that was captured there. In fact, that was the case
7 really for all bids throughout the entire time period.
8 Any time there were surplus megawatts above and beyond
9 the 20% reserve margin need, that resource was given no
10 additional value for those megawatts. That was the
11 case, for example, with the Polk 2-5 conversion.

12 **Q** Did you include any value for potential
13 capacity revenues from DeSoto in your analyses?

14 **A** No. Again, the same assumption was used for
15 all bids. That any, any megawatts above and beyond
16 those that were actually needed to meet the 20% reserve
17 margin were, had no, no particular value.

18 **MR. WRIGHT:** Thanks. Could I just have a
19 moment, Mr. Chairman?

20 **CHAIRMAN BRISÉ:** Sure.

21 **MR. WRIGHT:** Thank you, Mr. Chairman. Thank
22 you, Mr. Taylor. That's all the questions I have.

23 **CHAIRMAN BRISÉ:** Ms. Christensen.

24 **MS. CHRISTENSEN:** No questions.

25 **CHAIRMAN BRISÉ:** Staff?

1 **MS. BROWN:** Staff has no questions.

2 **CHAIRMAN BRISÉ:** Commissioners? All right.

3 Redirect.

4 **MR. BEASLEY:** Very brief redirect, sir.

5 **REDIRECT EXAMINATION**

6 **BY MR. BEASLEY:**

7 **Q** Mr. Taylor, was there anything in the best and
8 final offer letter that you've just been redistributed
9 that would cause you as a reasonable person to inquire
10 about transmission costs?

11 **A** No.

12 **Q** Given the delta in your analysis between the
13 DeSoto proposal and the Polk conversion, would, would
14 Polk still win if transmission costs were, were added
15 in?

16 **A** Absolutely. The, part of the reason why I
17 provided a breakdown of the various costs in my
18 independent evaluation report was to show some
19 background in ultimately what drove a lot of the
20 differentials and allow any reader to back out some of
21 these costs, if they, if they so desired.

22 But because the cost delta is so significant,
23 it would not be affected by backing out those
24 transmission costs.

25 **MR. BEASLEY:** Thank you, sir. That's the only

1 redirect I have.

2 I would like to move the admission of
3 Exhibit 18, which is Mr. Taylor's exhibit, and then
4 Exhibit 11, which is the need study sponsored by all of
5 Tampa Electric's witnesses.

6 **CHAIRMAN BRISÉ:** All right. At this time
7 we'll move Exhibit 18 and 11 into the record, if there
8 are no objections. Seeing none, they're moved into the
9 record.

10 (Exhibits 11 and 18 admitted into the record.)

11 And, Mr. Wright, I don't think you had any
12 exhibits other than taking a second look at Exhibit 30.

13 **MR. WRIGHT:** Correct, Mr. Chairman. Thank
14 you.

15 **CHAIRMAN BRISÉ:** All right. Thank you.

16 Thank you, Mr. Taylor.

17 **THE WITNESS:** Thank you.

18 **CHAIRMAN BRISÉ:** Okay. So we are coming to
19 the conclusion of this hearing, and I suppose there
20 probably is going to be discussion of what some of our
21 options may be.

22 Commissioner Edgar.

23 **COMMISSIONER EDGAR:** Thank you, Mr. Chairman.

24 From reviewing all of the information that
25 we've heard today and that we have before us with the

1 prefiled testimony and the other documents in this
2 docket, I believe it's accurate to say that for Issues
3 1, 2, 3, and 4 there is not disagreement between the
4 parties, or the corollary, there appears to be agreement
5 between the parties. Which brings us pretty much to 5,
6 6, recognizing that 7 -- 5 and 6, recognizing that 7 is
7 simply procedural.

8 I do -- I am not aware of any legal issues
9 that are before us. The disagreement appears to be
10 primarily a difference of opinion about the analysis of
11 some of the financial projections, and so I'm wondering
12 if our staff would be able to take a little bit of time
13 this afternoon and come back, be available for
14 questions, and if a bench decision would be an option to
15 us.

16 **CHAIRMAN BRISÉ:** Ms. Helton?

17 **MS. HELTON:** In my opinion, whether a bench
18 decision is an option really hinges on Mr. Wright and
19 Ms. Christensen and whether they will waive their right
20 to file a brief.

21 **MS. CHRISTENSEN:** Well, I guess for
22 clarification, I didn't look at the notice of hearing.
23 Was it noticed for a bench decision?

24 **MS. HELTON:** All notices -- my recollection is
25 that all notices that we enter for a hearing include

1 language that state that a bench decision may be made,
2 but that, that ability of the Commission to do that
3 hinges upon whether all of the parties waive their
4 rights to file a post-hearing filing.

5 **CHAIRMAN BRISÉ:** Mr. Wright?

6 **MR. WRIGHT:** Mr. Chairman, we have been
7 planning on filing a brief. I cannot commit to waive
8 away that right right now. I'd be happy to confer with
9 my client and respond, but as of right now we are
10 planning to file a brief.

11 **CHAIRMAN BRISÉ:** Okay. Would you like some
12 time to confer with your client?

13 **MR. WRIGHT:** Yes, please.

14 **CHAIRMAN BRISÉ:** Sure. How much time do you
15 need?

16 **MR. WRIGHT:** Half an hour, Mr. Chairman.

17 **CHAIRMAN BRISÉ:** All right. Well, if that's
18 what you need, but I'm supposing that you probably can
19 do it faster.

20 **MR. WRIGHT:** We will try, Mr. Chairman. But
21 it's not, it's not just people who are in this room that
22 have to make this decision.

23 **CHAIRMAN BRISÉ:** Understood. Before we get
24 there, Commissioners, any further comments?

25 Commissioner Balbis.

1 **COMMISSIONER BALBIS:** Thank you, Mr. Chairman.

2 I just want to clarify from Commissioner
3 Edgar, these are just Issues 1, 2, 3, and 4 or --

4 **COMMISSIONER EDGAR:** My understanding from the
5 testimony and the opening statements and all of the
6 other documents was that we would still need to make a
7 decision on Issues 1 through 4, but the parties do not
8 appear to have a disagreement on Issues 1 through 4.

9 In other words, my understanding was that,
10 from Ms. Christensen and from Mr. Wright and from
11 looking at the prefiled position statements, that
12 although the verbiage is different, that the essence of
13 their positions were the same as far as the need.

14 **MR. WRIGHT:** Mr. Chairman, if I could just
15 clarify. Issue 3 is the 39-year-old statutory criteria
16 and the need for adequate electricity at a reasonable
17 cost. I believe that ties directly into Issue 5, which
18 is whether the, the proposed alternative is the most
19 cost-effective alternative.

20 So if we do file a brief, I would expect that
21 we would address Issues 3, 5, and 6. I just want to,
22 want to be clear about that because of the close
23 relationship between 3 and 5. But certainly 5 and 6 are
24 the big ones: Most cost-effective alternative and
25 should you grant the petition.

1 **COMMISSIONER BALBIS:** And the reason why I
2 wanted to clarify that is that we still have to come
3 back and go through the process for 5 and 6. I just
4 wanted to confirm that that was the case, unless we can
5 make a bench decision on the others. But it sounds like
6 that's not an option.

7 **COMMISSIONER EDGAR:** May I?

8 **CHAIRMAN BRISÉ:** Sure.

9 **COMMISSIONER EDGAR:** And I'm not trying to, to
10 rush any of my fellow Commissioners. Again, just as I
11 looked at the issues and all of the information before
12 us, it did appear that there seemed to be close to a
13 meeting of the minds of the parties on 1 through 4. We
14 certainly would have the responsibility to vote on those
15 issues as part of this docket. And that then purely
16 from, from my own perspective that the heart of what is
17 before us is in 5 and 6, although I understand the
18 comment that Mr. Wright has made regarding Issue 3. My
19 thinking was because there are no legal issues and there
20 do not seem to be a real factual dispute but more of an
21 analysis dispute, that our staff could maybe take some
22 time and we could individually take some time and then
23 come back at around 4:00, would have been my suggestion,
24 to potentially have a bench decision. But if that does
25 not work, that's -- it was, it was just a question.

1 **CHAIRMAN BRISÉ:** Sure.

2 **COMMISSIONER EDGAR:** And perhaps a suggestion.

3 **CHAIRMAN BRISÉ:** Sure.

4 Commissioner Graham.

5 **COMMISSIONER GRAHAM:** Thank you, Mr. Chairman.

6 Commissioner Edgar beat me to the punch
7 because when I turned my light on, I was going to make
8 the same suggestion. I probably wouldn't have worded it
9 as eloquently as she did, so I'm glad she did beat me to
10 the punch.

11 But I'm, I'm prepared to make a bench decision
12 depending on the feedback we get back from DeSoto and
13 the recommendation we get from staff.

14 **CHAIRMAN BRISÉ:** Commissioner Brown.

15 **COMMISSIONER BROWN:** I would just echo the
16 sentiments by Commissioner Edgar and Commissioner
17 Graham. So I look forward to hearing from Mr. Wright in
18 the next 15 to 30 minutes whether you intend to file a
19 brief. Thank you.

20 **CHAIRMAN BRISÉ:** All right. It sounds like
21 there is an interest by the Commission to, to hear back
22 from you. It is now 1:20. I certainly hope to hear
23 back from you by 1:40.

24 **MR. WRIGHT:** We will do our best, Mr.
25 Chairman. Thank you.

1 **CHAIRMAN BRISÉ:** Prior to that, Commissioner
2 Graham, do you have a question?

3 **COMMISSIONER GRAHAM:** I guess procedurally --
4 I guess this goes to Ms. Helton. If DeSoto wants to
5 file a brief, then I guess the question I'm coming up
6 with, can we make the determination now one way or the
7 other, either on or off, so 15, 30 minutes, 20 minutes
8 from now, half an hour from now, whenever it is, either
9 staff is going to come up with a recommendation and we
10 reconvene here at 4:00, or we're just dismissed from
11 here and we expect the briefs whenever, whenever it's
12 recorded? I mean, rather than us sitting here for half
13 an hour waiting to hear back from them, if we can just
14 make that determination one way or the other.

15 **MS. HELTON:** Let me make sure I understand
16 what you're, what you're saying. DeSoto would report
17 back to someone on the staff and say whether they are
18 going, want to file briefs or not. If they want to file
19 briefs, then we would notify everyone that no one will
20 be coming back at 4:00. If they waive their right to
21 file briefs, then we will notify everybody to reconvene
22 at 4:00.

23 **COMMISSIONER GRAHAM:** That's exactly what I
24 meant to say.

25 **MS. HELTON:** Okay. If everyone agrees to that

1 process, I think that would be, that would work for me.

2 **CHAIRMAN BRISÉ:** Okay. Parties, we need to
3 hear from you.

4 **MR. WRIGHT:** Pardon? I, I didn't understand
5 your question.

6 **CHAIRMAN BRISÉ:** We need to hear from you if
7 what Ms. Helton expressed works.

8 **MR. WRIGHT:** Oh, yeah. I understood that.
9 That sounds like exactly the right process to me.

10 **CHAIRMAN BRISÉ:** Okay.

11 **MR. WRIGHT:** And we'll go do what we need to
12 do.

13 **MS. HELTON:** And --

14 **MS. CHRISTENSEN:** No objection.

15 **CHAIRMAN BRISÉ:** Okay.

16 **MR. BEASLEY:** No objections.

17 **MS. HELTON:** Mr. Chairman, I should have also
18 put in the category of waiving the right to file briefs,
19 I should have added TECO to that category, too.

20 **CHAIRMAN BRISÉ:** Right.

21 **MS. HELTON:** So Mr. Beasley and Mr. Wahlen
22 need to have also waived them.

23 **MR. BEASLEY:** Thank you.

24 **CHAIRMAN BRISÉ:** All right. So we at this
25 point will be at least in recess 'til 1:20. And

1 depending upon the outcome, then -- I mean, 1:40 rather.
2 And depending upon what we receive back, we could stand
3 adjourned or, or come back for a decision. Okay? We
4 will return, as I stated before, at 1:40. Thank you.

5 (Recess taken.)

6 All right. Good afternoon. Okay. I have
7 been made aware of some information from our staff, but
8 I'll go ahead and wait to hear from, from the parties.

9 **MR. WRIGHT:** Thank you, Mr. Chairman. We were
10 able to confer with the appropriate officials within
11 DeSoto Generating Company, and we are willing to waive
12 our right to file a brief.

13 And just as an ancillary matter, since we're
14 going to do that, I would ask your leave to withdraw
15 what had been marked as exhibit -- actually it had been
16 admitted now, but I'd like to, you know, withdraw
17 Exhibits 30 and 31, the confidential exhibits, so that,
18 frankly so that we just don't have to spend the time
19 doing the confidential protection paperwork. Thank you.

20 **CHAIRMAN BRISÉ:** Okay. Understood.

21 (Exhibits 30 and 31 withdrawn.)

22 Ms. Christensen.

23 **MS. CHRISTENSEN:** And OPC will waive any brief
24 writing.

25 **CHAIRMAN BRISÉ:** Okay. TECO?

1 **MR. BEASLEY:** We would waive our right to file
2 a brief. Thank you, sir.

3 **CHAIRMAN BRISÉ:** Okay.

4 **MR. WAHLEN:** And we don't object to him
5 withdrawing his exhibits.

6 **CHAIRMAN BRISÉ:** Okay. Thank you.

7 **MR. WAHLEN:** Just to be clear.

8 **CHAIRMAN BRISÉ:** All right. So we will
9 withdraw Exhibits 30 and 31.

10 **MR. WRIGHT:** Thank you.

11 **CHAIRMAN BRISÉ:** All right. We are in the
12 posture of decision, recognizing that one of our
13 Commissioners is not back yet. So I guess we need to
14 confer with his office.

15 **MR. BALLINGER:** I -- Chairman Brisé, if I
16 could. Tom Ballinger with staff.

17 I think Commissioner Balbis is in another
18 staff briefing on the agenda tomorrow and that's where
19 he's at right now. And I would point out, I think we
20 have another briefing scheduled with Commissioner Graham
21 at 4:00.

22 **CHAIRMAN BRISÉ:** Right.

23 **MR. BALLINGER:** So if you're looking at times
24 to come back, just keep those in, in mind.

25 I think staff could get something together in

1 20 or 30 minutes or so and be ready to give you a
2 recommendation through all the issues.

3 **CHAIRMAN BRISÉ:** Okay. Okay. We will seek to
4 reconvene at about 3:30, and at that point we should be
5 in the posture to receive staff's recommendation and
6 then make a decision. All right?

7 We are in recess until 3:30. Thank you.

8 (Brief pause.)

9 Folk, you all may have, you all may be
10 inclined to hear what we have to say. So if you -- and
11 we're going to go ahead and go back on the record at
12 this time.

13 Okay. Ms. Christensen heard us, I guess, so
14 she's coming back in.

15 Okay. I think we need about a minute for us
16 to line up with our computer system and court reporter
17 and so forth.

18 But I think there may be a possibility that we
19 may be in the posture to, to move forward with a bench
20 decision even before the staff recommendation comes back
21 in. Okay?

22 So I don't know if any of my fellow
23 Commissioners want to make comments and then possibly
24 entertain a motion.

25 Commissioner Edgar.

1 **COMMISSIONER EDGAR:** Thank you, Mr. Chairman.
2 Looking at the issues before us, again my understanding
3 is that there is close to consistent agreement on the
4 resolution of Issues 1, 2, 3, and 4, recognizing that
5 there are, in the proposed issue positions or in the
6 issue positions that were filed by the parties are some
7 differences in wording and dicta basically that it would
8 be our choice as to whether to adopt or not.

9 Generally, and my approach is, is, you know,
10 the fewer words the better sometimes. So looking at the
11 issues before us specifically, I would consider the
12 answer to Issue 1 to be yes; the answer to Issue 2 to be
13 no; the answer to Issue 3, yes; Issue 4, yes; Issue 5,
14 yes; Issue 6, yes; Issue 7, yes. In other words, yes on
15 all issues except for 2, which is worded slightly
16 differently, so the answer would be in the negative on
17 that one.

18 **COMMISSIONER GRAHAM:** Second.

19 **CHAIRMAN BRISÉ:** All right. So we have a
20 motion and it's been seconded.

21 Comments. Commissioner Brown.

22 **COMMISSIONER BROWN:** Thank you, Mr. Chairman.
23 And I think based on the prefiled testimony and the
24 testimony we heard here, I'm excited about this
25 conversion, this combined cycle conversion. I think

1 it's not only the most cost-effective alternative, it's
2 going to provide fuel savings and it lowers the
3 environmental emissions rate. I'm really looking
4 forward to it, and I think that you guys have a good
5 plan in place. So looking forward to it. I support the
6 motion.

7 **CHAIRMAN BRISÉ:** Commissioner Balbis.

8 **COMMISSIONER BALBIS:** Thank you, Mr. Chairman.
9 And I fully support the motion and echo similar comments
10 of Commissioner Brown. I think on top of the positive
11 aspects that she mentioned, I think that any time
12 upgrading these power plants to more effective and
13 efficient processes, reducing emissions, and also
14 something that's close to my heart is the utilization of
15 treated waste water for cooling purposes, also
16 preserving another resource that's important to this
17 state. So with that, I fully support the motion.

18 **CHAIRMAN BRISÉ:** Thank you. Commissioner
19 Edgar.

20 **COMMISSIONER EDGAR:** Thank you. I would just
21 add that I certainly recognize from the information that
22 is contained in this docket that DeSoto does have an
23 asset, you know, in this state, and would encourage the
24 two operators to continue discussions as appropriate
25 that would be in the best interests of the ratepayers as

1 other needs occur in the future.

2 **CHAIRMAN BRISÉ:** All right. Any further
3 comments? At this point I think we are in a position to
4 vote. So it's been moved and seconded. We've had ample
5 discussion. All in favor, say aye.

6 (Vote taken.)

7 Thank you very much. We stand adjourned.

8 (Proceeding adjourned at 1:53 p.m.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF FLORIDA)
2 COUNTY OF LEON) : CERTIFICATE OF REPORTER

3
4 I, LINDA BOLES, RPR, CRR, Official Commission
5 Reporter, do hereby certify that the foregoing
6 proceeding was heard at the time and place herein
7 stated.

8 IT IS FURTHER CERTIFIED that I stenographically
9 reported the said proceedings; that the same has been
10 transcribed under my direct supervision; and that this
11 transcript constitutes a true transcription of my notes
12 of said proceedings.

13 I FURTHER CERTIFY that I am not a relative,
14 employee, attorney or counsel of any of the parties,
15 nor am I a relative or employee of any of the parties'
16 attorneys or counsel connected with the action, nor am
17 I financially interested in the action.

18 DATED THIS 19th day of December,
19 2012.

20
21
22
23
24
25
Linda Boles
LINDA BOLES, RPR, CRR
FPSC Official Commission Reporter
(850) 413-6734