

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

DOCKET NO. UNDOCKETED

TEN-YEAR SITE PLAN.
_____ /

PROCEEDINGS: WORKSHOP

COMMISSIONERS

PARTICIPATING: CHAIRMAN ART GRAHAM
COMMISSIONER LISA POLAK EDGAR
COMMISSIONER RONALD A. BRISÉ
COMMISSIONER EDUARDO E. BALBIS
COMMISSIONER JULIE I. BROWN

DATE: Tuesday, August 12, 2014

TIME: Commenced at 1:34 p.m.
Concluded at 2:39 p.m.

PLACE: Betty Easley Conference Center
Hearing Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: LINDA BOLES, CRR, RPR
Official FPSC Reporter
(850) 413-6734

P R O C E E D I N G S

1
2 **CHAIRMAN GRAHAM:** Good afternoon, everyone.
3 I'm glad y'all made it back here, or some of you back
4 here. Some of you are just here after lunch. Let the
5 record show it is Tuesday, August the 12th, and this is
6 our Ten-Year Site Plan workshop.

7 I guess to get everything started we have to
8 have staff to read the notice.

9 **MR. MURPHY:** We're here pursuant to notice for
10 a Commission workshop on the 2014 electric utility Ten-
11 Year Site Plans.

12 **CHAIRMAN GRAHAM:** Okay. Well, probably the
13 best way, the easiest way to start all this is I guess
14 we'll just jump right into the presentation from FRCC.

15 **MR. ODOM:** Good afternoon, Mr. Chairman and
16 Commissioners. My name is John Odom. I'm Vice
17 President of Planning and Operations for FRCC. And I
18 want to thank y'all for giving me the opportunity to
19 make this presentation today.

20 I'll begin today with a little bit about
21 FRCC's purpose and then give a brief overview of the
22 results contained in this presentation, the executive
23 summary. Then I'll go into more detail into the four
24 major areas contained in this presentation: The load
25 and resource plan, fuel reliability, key EPA air quality

1 regulations, and I'll end with some information on the
2 physical security efforts that are going underway for
3 control centers, transmission, and substation
4 facilities.

5 The purpose of FRCC, we exist to promote and
6 enhance reliability and adequacy of the bulk electric
7 system. We have a focus on operations as well as
8 planning. We're looking at it now and into the future.
9 The FRCC region is peninsular Florida, or all of Florida
10 east of the Apalachicola River.

11 So I'll begin today with the highlights of
12 this presentation. The planning reserve margins
13 throughout the ten-year period are greater than
14 20 percent, and demand-side management is projected to
15 be a major component of those projected planning
16 reserves. The information that I'm presenting today is
17 as of April 1st, 2014, when the utilities filed their
18 Ten-Year Site Plans, and it doesn't reflect changes that
19 have occurred since then, and it doesn't consider the
20 impact of what changes to the plans may come out as a
21 result of the proposed EPA rules.

22 Demand response in FRCC reduces the summer
23 peak by an average of about 6.7 percent throughout the
24 planning horizon. Energy efficiency and conservation
25 sponsored by the utility, those programs lower the

1 demand in the summer peak by 1.5 percent by 2023.

2 **CHAIRMAN GRAHAM:** I'm sorry. I didn't mean to
3 cut you off. I -- a little technical difficulties. I
4 don't have the presentation in front of me.

5 **MR. ODOM:** Oh.

6 **CHAIRMAN GRAHAM:** And I can't look back over
7 my shoulder like this.

8 **MR. ODOM:** Well, that's not good.

9 **CHAIRMAN GRAHAM:** So let's just hesitate here
10 for about five minutes or so.

11 **MR. ODOM:** Okay.

12 (Pause.)

13 Okay. You can continue.

14 **MR. ODOM:** Oh, does everybody have it now?

15 **CHAIRMAN GRAHAM:** Yes.

16 **MR. ODOM:** Oh, okay.

17 Additionally, the energy efficiency delivered
18 through the mandated codes and standards account for
19 load reductions of about 4 percent by 2013 [sic]. And
20 by 2023, renewables will account for approximately 1.24
21 percent of the energy served within Florida. Energy
22 production from natural gas is expected to increase by
23 10 percent by 2023.

24 **CHAIRMAN GRAHAM:** Hold on just a second.
25 Commissioner Brisé.

1 **COMMISSIONER BRISÉ:** Yes. Just a quick
2 question. On page 4 of your slides, on the fourth
3 bullet point you mention by at least 4 percent, and you
4 said 2013. I'm assuming that you meant 2023.

5 **MR. ODOM:** I am so sorry. I did mean 2023.
6 Thank you.

7 **COMMISSIONER BRISÉ:** Okay. No problem.

8 **MR. ODOM:** There is a third gas pipeline into
9 the state under development that will provide diversity
10 in the gas deliverability to the state. Also, the
11 impacts of the EPA regulations, the Mercury and Air
12 Toxics rule, the last time that we were here we said
13 that there were some transmission reliability issues
14 associated with that. And the Crystal River Units 1 and
15 2 are expected to remain available until April 2018, and
16 they're expected to have two new combined cycle units of
17 1640 megawatts by 2018.

18 Also, the Florida utilities and utilities
19 around the country are providing comments on the new
20 proposed CO2 rule. This is an issue that is, is
21 emerging and has garnered a lot of attention.

22 And then finally, NERC has approved and
23 submitted to the Federal Energy Regulatory Commission a
24 new standard on physical security, and the Federal
25 Energy Regulatory Commission has issued a NOPR on that

1 rule. So I'm going to provide additional detail on that
2 and all these other summary items throughout the
3 presentation.

4 So we'll jump into the load and resource plan.
5 For the load and resource section I'll begin with some
6 of the factors that are driving the load forecast
7 through the period. Florida's actual unemployment
8 continues to decrease. Population growth is beginning
9 to gain some momentum. However, Florida's gross state
10 product levels are lower than were projected in the
11 2011/2012 time frame. That is, the gross state product
12 has not recovered as quickly as expected from the 2011
13 and '12 time frame.

14 Forecasted energy sales, total energy sales,
15 and the peak demand for the winter are expected to be
16 lower for this study period compared to last year, but
17 the forecasted summer firm peak demand is expected to be
18 higher beginning in 2017.

19 **COMMISSIONER BROWN:** Thank you. May I ask you
20 to elaborate on the reasons why?

21 **MR. ODOM:** The, on the forecast of the, of the
22 energy?

23 **COMMISSIONER BROWN:** Yes.

24 **MR. ODOM:** The winter -- we had an abnormally
25 high winter, and so those, that caused the -- last year

1 people were expecting that that was going to continue
2 until -- so it flattened out. And in the summer peak
3 demand, it's driven primarily because of the expectation
4 that there's going to continue to be population growth
5 and, and more increased demand that comes along with
6 that population growth.

7 This chart shows the historical actual summer
8 peak demand from 1990 through 2013. The dashed line is,
9 is what would be considered a, the slope of that line or
10 the best fit for that line. The red line at the, at the
11 bottom is the projected firm demand. That's the demand
12 that we use for our reserve calculations because that
13 takes into account all the impacts. But we did want to
14 show you the impacts of demand response and the energy
15 conservation and energy efficiency programs.

16 The goldenrod line, the next line up, is what
17 the forecast would be without the use of demand response
18 to the load management or interruptible load. And then
19 the line above that, the yellow line, is the impacts
20 without the utility-sponsored energy efficiency and
21 energy conservation.

22 This chart gives a closer look at the summer
23 peak demand forecast. The, again, the red line shows
24 that the demand is expected to be up to approximately
25 49,500 megawatts in 2023, with 2014 expected to be about

1 43,000 megawatts of demand. The goldenrod line again is
2 the load management and interruptible. That's where the
3 load forecast would be without the demand response. And
4 the top line takes out the energy efficiency and
5 conservation programs that have been sponsored by the
6 utilities.

7 And this chart on page 10 compares last year's
8 peak summer forecast to this year's forecast. The gray
9 dashed line is the forecast that was provided in 2013
10 and the red line is this year's load forecast. And as
11 you can see, the 2014 summer starts out lower because
12 the demand growth hasn't been as strong as it was
13 expected, but it is beginning to pick up steam. And the
14 expectation is that it'll be slightly higher. It
15 crosses over beginning in 2017, and it's slightly higher
16 throughout the, throughout the ten-year period than what
17 was expected last year.

18 Now I'll spend a little bit of time talking
19 about the winter peak. This is the same chart except
20 for the winter peak, and you can see that it is, it is
21 significantly lower this year than it was last year.
22 Last year we expected the winter peak for 2014/15, this
23 coming winter, to be about 44,000 megawatts. This year
24 we're expecting that to be a little less than
25 42,000 megawatts. And then if you go out to the 2022/23

1 winter, you'll see that we're -- that our forecasts are
2 based on 40 -- almost 47,000 megawatts of winter demand
3 in 2022/23 compared to almost 49,000 megawatts last
4 year.

5 So we talked about the summer peak demand and
6 the winter peak demand. This chart on page 12 talks
7 about the total energy. That's the amount of energy
8 that is expected to be consumed throughout the whole
9 year. Again, this number is, is a little lower than
10 what was projected last year. Last year there was
11 255,000 gigawatt hours projected in 2022. This year
12 we're saying it's going to be 252,000 gigawatt hours, or
13 a total energy reduction of about 3,300 gigawatt hours
14 out at the ten-year period out at 2022.

15 This chart shows the, how the compound average
16 annual growth rate in megawatts of the firm peak demand
17 change by the forecast years. In 1992, the FRCC
18 entities were forecasting an increase of about
19 2.3 percent per year, and it had remained steady and
20 grew from there. And it topped out at about 2.5
21 percent per year of annual growth in 2005 and then it
22 began declining. In 1995, the average was between
23 1.8 and 2.7 between '95 and '01. And for the, for
24 the -- beginning in 2005 it's been dropping quite
25 dramatically; whereas, in 2014 the compound average

1 annual growth rate is 1.7 for the summer period, which
2 is the red line, and 1.4 for the winter period. And
3 this is the growth rate that's expected over the ten
4 years looking forward.

5 This is the last load forecast slide. Now
6 we'll get into the generation side of the equation.
7 This is a chart that shows the summer resource capacity
8 in megawatts by year. The blue base down at the bottom
9 is capacity that's owned inside the region by the, by
10 the utilities. The orange that sits on top of that is
11 the capacity that the utilities own outside the region
12 and import into the state. And then the green is the
13 additions minus the retirements or the net changes in
14 the utility plans over the next ten years. And the
15 purple represents the firm contracts that have been
16 signed by the utilities with non-utility generators.
17 And then on top of that is the light blue, which
18 represents the other imports into the state other than
19 those that are owned by the utilities.

20 Today, utilities in Florida own almost
21 49,000 megawatts of generation in the region, and
22 they're adding almost -- or expected to add almost
23 8,000 megawatts by 2023. And the other numbers remain
24 fairly constant except for the imports, which are
25 expected to drop by about 1,100 megawatts from what they

1 are today by 2023.

2 This chart shows the planning reserve margins
3 for both the summer and the winter periods throughout
4 the ten-year period. The blue shows the winter and the
5 red is the summer. The reserve margins are all above 20
6 percent, and these, these charts include the reductions
7 that come from load management and interruptible load.
8 And so you can see that the reserve margins are over
9 20 percent for the entire period with those reductions.

10 And then the next chart on page 16, we did a
11 similar chart but for a different focus. This chart
12 we've taken out the demand response and the energy
13 efficiency and conservation programs that are sponsored
14 by the utilities to see what the, what the reserve
15 margins would be. And as you can see, beginning in
16 2017, without those two major components, the summer
17 would drop below 15 percent. Not that anyone expects
18 that those things would go away, but this chart just
19 allows us to look at the impacts of those programs and
20 what kind of impacts they have on the reserve margins.
21 And the demand response and load management programs
22 have a, have a pretty significant impact on the reserve
23 margins within FRCC.

24 This slide compares -- shows how FRCC is doing
25 it compared to other parts of the country for demand

1 response, demand-side management. There are eight areas
2 that are reported here. As you can see, FRCC has a
3 6.8 percent reduction in peak demand for demand
4 response, and the highest of these major regions is 7.1.
5 So we're the second highest in the demand response for
6 the major geographic areas across the United States.

7 So the conclusion on the reserve margins is
8 that the planned reserve margins for FRCC are expected
9 to be greater than 20 percent. The demand response
10 programs make up a significant component of that. And,
11 you know, with the, with the planned additions over the,
12 over the period they are above 20 percent. And that we
13 have a large amount of demand response within the FRCC
14 region.

15 The next few slides, I'm going to discuss the
16 fuel mix within Florida. The fuel mix, I know, have
17 some information about nuclear and renewables in the
18 slide.

19 This first set of charts shows the net energy
20 to load in gigawatt hours from the various sources. And
21 as you can see, the gas is 58 percent of the energy
22 comes from gas in 2014, and in 2023 it will be
23 57 percent. But I do want to note that, that even
24 though the gas percentage remains relatively constant,
25 natural gas is going to increase by about 10 percent,

1 the uses of natural gas for electric generation is going
2 to increase by approximately 10 percent over the, over
3 the other periods. Nuclear is going up from 13 to
4 17 percent, and coal is going down slightly. And as I
5 had said previously, this doesn't include any of the
6 impacts from the proposed EPA rules.

7 This shows the capacity. The last chart was
8 the energy. This shows the net capacity for the summer
9 months. In 2014, you can see that 62 percent of the
10 generation is gas-fired, and of that 40 percent has dual
11 fuel capability. And in 2023, that number goes to
12 65 percent. So even though there's a small amount of
13 decrease in the energy, the capacity number goes up
14 slightly during that period. That 40 percent for dual
15 fuel capability stays the same in 2023, and that is,
16 that dual fuel capability is important for our fuel
17 diversity. In 2023, there's about 6,300 megawatts more
18 of natural gas capacity than there was in 2014.

19 This slide on page 21 shows the existing
20 renewable resource capacity for the summer period in
21 megawatts. There's approximately 1,434 megawatts of
22 renewable capacity. 59 percent of that renewable is
23 biomass and municipal solid waste. That represents over
24 800 megawatts of capacity. The heat recovery is next
25 with 22 percent, and then about 15 percent from solar,

1 and smaller amounts from wind and hydro plants. So
2 that's the existing makeup of the renewables within the,
3 renewable capacity within FRCC.

4 Now for the forecast, by 2023 we're expecting
5 approximately 400 megawatts more of biomass, which will
6 bring us to a total of about 1,200 megawatts of biomass.
7 Municipal solid waste is 162 megawatts. And solar, the
8 utilities are expecting to add 314 megawatts of solar by
9 2023. 300 megawatts of that is from two projects on the
10 Duke system, and the remaining 14 megawatts are made up
11 by multiple other projects, smaller projects across the,
12 across the state. So the total expected capacity by
13 2023 is about 2,300 megawatts.

14 Now on to the nuclear outlook. We've got
15 St. Lucie 1 and 2 and Turkey Point 3 and 4. They
16 represent about 3,600 megawatts of summer capacity. And
17 in this ten-year plan there were -- Turkey Point 6 and
18 7 are new 1,100 megawatts that are planned to come
19 online in 2022 and 2023, for a total of 200 --
20 2,200 megawatts of additional nuclear capacity towards
21 the end of the ten-year period.

22 So the conclusion for the load and resource
23 plan based on the plans filed, by the April 1st deadline
24 the FRCC region will have adequate plan reserves over
25 the ten-year period, and the demand-side management is a

1 significant component of that. FRCC's role in looking
2 at these load and resource plans is to evaluate and
3 monitor the utilities' plans, and we plan to do that on
4 an ongoing basis, you know, particularly with some of
5 the changes that are being, that are being proposed with
6 the new EPA rules.

7 So next I'm going to go to the fuel
8 reliability section. The FRCC continues to have its
9 Fuel Reliability Working Group. This group is made up
10 of utility representatives that are familiar with the
11 fuel reliability. It's primarily focused on natural gas
12 at this time. They review the existing inter-
13 dependencies between fuel deliverability and electric
14 reliability, and also they're responsible for
15 coordinating regional responses to any emergencies or
16 fuel issues that may arise.

17 I have mentioned previously about the energy
18 production from natural gas. This shows a little bit
19 more granularity about that. You can see that it has
20 continued to grow until 2020 -- 2012 and dropped
21 slightly in 2013. The green and the orange -- green and
22 orange -- the green and blue lines that go out, you can
23 see they track fairly well from last year's forecast to
24 this year's forecast. There is a small decrease of
25 about 5,000 gigawatt hours of expected energy from, from

1 gas in the, in the final year of this, this study
2 period. And as I've said before, this could change as
3 the resource mix changes based on the proposed EPA
4 rules.

5 We added this slide to show a little bit of
6 the natural gas statistics within Florida about the
7 consumption and production and pipelines. The first
8 column shows that Florida is number four of the ten
9 largest states in natural gas consumption and that we're
10 number two for the use of natural gas for electricity.
11 And we have very low natural gas production, that's the
12 third column. And the total miles of natural gas
13 pipeline in Florida is approximately 5,400. That ranks
14 ninth out of the, out of the ten top gas users in the --
15 gas using states. And then, and almost no gas storage
16 within Florida.

17 One of the things that I had mentioned
18 previously that because of these statistics about the
19 amount of gas usage, that we have been monitoring, you
20 know, and talking with the utilities about their
21 alternate fuel capability for their dual fuel units.
22 And that, that look at fuel gives us some diversity
23 against any gas supply interruptions.

24 Today the majority of the natural gas that
25 comes into Florida comes in through two pipelines that

1 you can barely see on these, on these maps. The first
2 is Florida Gas Transmission pipeline and the second is
3 the Gulfstream gas pipeline that comes across the, the
4 Gulf. As you're aware, there is a third gas pipeline
5 planned in Florida. There's actually two pretty
6 significant projects.

7 First, the Sabal Trail project. This proposed
8 pipeline will connect with the other two pipelines at
9 the south -- I'm sorry -- at the -- and create a Central
10 Florida Hub by connecting into the Gulfstream and the
11 Florida Gas Transmission. That hub and that connection,
12 along with the additional pipeline, will give some
13 diversity in the gas deliverability.

14 Sabal Trail is about 500 miles of pipe and
15 will ultimately have five compressor stations. The
16 Florida Southeast Connector is about 160 miles of
17 pipeline, and it will terminate at FPL's Martin
18 Generation Station and will begin at the Central Florida
19 Hub that's being created with these projects, these
20 proposed projects.

21 The next steps for the, for the gas pipelines
22 project is to obtain the Florida environmental resource
23 permit, US Army Corps of Engineers permit, and a FERC
24 certificate of need. The expected in-service date of
25 the third gas pipeline is May of 2017.

1 So a recap of Florida's status is that we have
2 greater natural gas demand than all but three states and
3 greater natural gas demand for electric generation for
4 all the other states other than Texas, and we have
5 minimal storage, and the gas pipelines are fairly low
6 compared to the other largest gas consuming states.

7 The reliability conclusions, also, as I
8 mentioned, the dual fuel capability helps prepare for
9 when natural gas supplies become limited due to whatever
10 kind of disruption may happen. So it's key to the
11 operating flexibility of the natural gas generation in
12 Florida. However, a disruption of one of the two major
13 pipelines lasting for a few days could create some
14 challenges trying to get alternate liquid fuel to those
15 units that are able to burn the alternate fuel. And the
16 third gas pipeline is under development and is expected
17 to be in service by May of 2017.

18 Next we'll shift gears to the EPA air quality
19 rules. First, I wanted to report on the Mercury and Air
20 Toxics Standards. Last year when we were here we had
21 identified a transmission reliability --

22 **COMMISSIONER EDGAR:** Excuse me. I'm sorry.

23 **MR. ODOM:** Oh, okay.

24 **COMMISSIONER EDGAR:** I did have a question,
25 but you were on such a roll, I didn't want to interrupt

1 you. But this looked like it might be kind of a natural
2 break.

3 **MR. ODOM:** Okay. Sorry.

4 **COMMISSIONER EDGAR:** So I apologize for
5 interrupting you mid-sentence. On page 30, the first
6 bullet, I understand the first part, but I'm not sure I
7 understand the second part. "Greater natural gas demand
8 to support generation than all states," I'm just not
9 getting that point. Could you give it to me again?

10 **MR. ODOM:** Yes. Yes. No, that's quite all
11 right. Texas has more generation that's powered from
12 natural gas than any other state and we're second.

13 **COMMISSIONER EDGAR:** Okay.

14 **MR. ODOM:** Even though the total gas
15 consumption we're, we're fourth. But when it comes to
16 natural gas for electric generation, we're second in
17 the, in the country.

18 **COMMISSIONER EDGAR:** By overall or per capita
19 or --

20 **MR. ODOM:** Overall.

21 **COMMISSIONER EDGAR:** Overall.

22 **MR. ODOM:** Just raw number and size.

23 **COMMISSIONER EDGAR:** Okay. All right. Thank
24 you.

25 **MR. ODOM:** Okay. So I did get on a roll

1 there. But we'll go back to the Mercury and Air Toxics
2 Standards. Last year when we were here we had
3 identified transmission reliability concerns linked with
4 this proposed standard. The original concern was that
5 with Crystal River 1 and 2 that by the rule they would
6 have needed to be shut down by 2015. However, this
7 issue has been addressed by a couple of things. One is
8 the plan now is for Crystal River 1 and 2 to be run
9 until April of 2018. The -- they got an original
10 extension and then using some low sulfur fuels to get
11 out to 2015. And then a replacement plant, now a
12 combined cycle plant of 1,640 megawatts is scheduled for
13 2018 with half, or 820 megawatts scheduled to go in
14 service in May, with the remainder to go in service in
15 November.

16 So the new Environmental Protection Agency
17 rules, they have issued a proposed rule in June 18th of
18 this year. It proposes guidelines for gas emissions
19 from existing stationary sources. The comment period
20 extends until October 16th of this year. The entities
21 within FRCC are in the early stages of evaluating this
22 rule. Currently they're focused on the technical
23 validity of the results and trying to determine what the
24 impact could be.

25 NERC and FRCC are going to monitor and

1 evaluate the potential impacts of the rules. At this
2 point, it's too early in the process to have identified
3 any specific concerns, but we're continuing to monitor
4 it. The major concern is that the rule could change the
5 resource mix and the location of generation that could
6 create some transmission reliability concerns within
7 FRCC.

8 And at this point, you know, everybody is
9 working hard to try to determine what the rule says and
10 provide -- the utilities are providing comments and a
11 lot of different people across the country are providing
12 comments. And NERC is looking at, as part of its
13 long-term reliability assessment, to identify what
14 impacts the final rule may have. But that process is
15 still a ways down the road, and we at FRCC are planning
16 to continue to monitor what goes on and see how it, how
17 the rule would impact what generations will run during
18 what time period and what units had to be -- would be
19 retired and those kind of things to determine if there
20 are any transmission reliability issues about getting
21 that generation to the load.

22 **CHAIRMAN GRAHAM:** Excuse me, Mr. Odom.

23 **MR. ODOM:** Yes.

24 **CHAIRMAN GRAHAM:** Commissioner Edgar.

25 **COMMISSIONER EDGAR:** Thank you. I did want to

1 follow up on that point before you moved on to the next
2 subject. And I do recognize it's early in the process
3 and it's very technical and a lot of different moving
4 parts. But recognizing that the comment period is
5 currently scheduled to close in October, will FRCC or,
6 and/or NERC, to your knowledge, be filing comments on
7 the impact or on the analysis from your perspective for
8 Florida?

9 **MR. ODOM:** I'll speak for FRCC first. We are
10 not expecting as FRCC to file any, any comments. Our
11 position is that without knowing how the utilities
12 might implement those, those changes, we don't really
13 know what impact it's going to have on reliability, and
14 reliability is what we're focused on.

15 I do not know about NERC, whether they are.
16 But at this point I have not personally heard of them
17 planning to file comments either.

18 **COMMISSIONER EDGAR:** You had some slides
19 earlier -- 19, 20, and 27 were the ones that I jotted
20 down -- that you said were the projections for energy
21 capacity and renewables through 2023, not taking into
22 account the impact of the EPA 111(d) proposed rule. Do
23 you have similar information taking into account the
24 impact of the proposed rule if it were to go into effect
25 as it currently stands?

1 **MR. ODOM:** Right now we have not compiled any
2 of those because those changes will be driven by how the
3 individual utilities respond. There's a lot of
4 different ways that they could respond. And until they
5 actually develop what their plans would be to go into,
6 or to meet the proposed rule, we wouldn't be able to
7 comment or provide any information on the state as,
8 rolled up to one spot. So we just don't have that
9 information yet.

10 **COMMISSIONER EDGAR:** Okay. Thank you.

11 **MR. ODOM:** Okay. Moving on, we'll talk about
12 the physical security of the infrastructure. In April
13 of 2013 there was a pretty significant event that
14 happened at the Metcalf substation. The Metcalf
15 substation is a Pacific Gas & Electric substation and
16 it's just outside San Jose. And it's one of two areas,
17 or two major substations that serve the San Francisco
18 Bay area and Silicon Valley.

19 They had -- their control center recognized
20 that there was an intrusion into the plant. They didn't
21 know exactly what happened. First responders found that
22 there were multiple transformers and breakers that were
23 damaged by gunshots, but there were no outages that were
24 experienced during the event and no customers were
25 impacted. However, it really is a game changing event

1 for the electric utilities.

2 In the past, utilities have had random acts, I
3 will call them. You know, people shooting individual
4 insulators or stealing copper off of transmission towers
5 and all. But this was, this was a coordinated attack at
6 a substation.

7 The next slide, the first thing that these
8 attackers did was they went into an underground vault
9 and cut fiberoptic cables. They wanted to make, to
10 interfere with the electronic communication with the
11 substation. They climbed into this vault and cut the
12 fiberoptic cables about 1:00 in the morning. A little
13 more than 30 minutes later the intrusion alarm started
14 going off in the substation. The transmission operator
15 also received several alarms. There were multiple
16 gunshots from a variety of locations on the transformers
17 and breakers. You know, so this was, you know, a very
18 sophisticated attack and just very different than what
19 we had seen. The damage that was done was ten of 11
20 transformers, 500kV transformers had gunshot damage.

21 **CHAIRMAN GRAHAM:** Mr. Odom?

22 **MR. ODOM:** Yes.

23 **CHAIRMAN GRAHAM:** Give me just a second.

24 Commissioner Brown.

25 **COMMISSIONER BROWN:** Just a question. And I'm

1 familiar with the matter, but what -- did we ever find
2 out what the modus operandi was from the perpetrators?

3 **MR. ODOM:** As far as -- the latest I've heard,
4 they don't even know who it was. And there's been a lot
5 of speculation about what and why they were doing that,
6 but to this point I haven't heard anything credible
7 about why they were, why they were, why they were doing
8 this.

9 **COMMISSIONER BROWN:** And additional measures,
10 security measure were thereafter immediately
11 implemented.

12 **MR. ODOM:** The industry response has been
13 pretty quick. It was very quick at that particular
14 substation, and there's been a lot of activity and I'll
15 talk about some of that.

16 In addition to the 500kV transformers, three
17 of the four 230kV transformers had gunshot. The damage
18 was primarily to the cooling devices, the radiators for
19 the oil, and half of the 115kV breakers sustained
20 gunshot damage.

21 One of the, one of the interesting things
22 about the event is since there were gunshots reported,
23 the police arrived on the scene but they didn't really
24 see anything suspicious. The transmission operators and
25 PG&E's corporate security each had information that

1 something was going on but they didn't piece together
2 what happened.

3 The lessons learned specifically about that
4 event is that between the first responders and the
5 operators and security, that you need to coordinate and
6 make sure that people actually understand what happened.
7 One of the key things that has gone on is to try to make
8 sure that local law enforcement understands the
9 seriousness of this type call, and also the need to
10 continuously monitor and evaluate the system.

11 So one of the key things that has happened is
12 NERC quickly responded to develop a new security
13 standard. In March of this year, FERC issued a physical
14 security, an order on physical security that required
15 NERC to submit a standard by June of this year. So NERC
16 drafted the standard. The industry approved the
17 standard in record time, about nine weeks. The standard
18 was approved in May, and it was filed with the Federal
19 Energy Commission on May 23rd of 2014.

20 FERC issued a notice of proposed rulemaking on
21 July 17th of this year. They required a couple of
22 major -- some changes to standard, a couple of major
23 ones that I'll talk about in a minute. The initial
24 comments on the Federal Energy Regulatory Commission
25 notice of proposed rulemaking is due on September 8th,

1 2014.

2 The industry responded very quickly to FERC's
3 order. And it is expected that FERC will approve the
4 new standard in December of this year, and it will
5 become effective on July 15th of next year.

6 Briefly, what the standard requires is for
7 500kV in large 230kV substations, and they've defined
8 that as substations with five or more 230kV lines, and
9 then the major control centers, that the critical
10 infrastructure protection standard CIP-014 requires that
11 the utilities perform a risk assessment to identify
12 significant transmission substations. Next, that
13 someone that's not affiliated with the utility must
14 independently verify the risk assessment. Then the
15 utility must develop -- must evaluate the potential
16 threats and vulnerability of a physical attack. And
17 then finally, they need to develop and implement a
18 security plan on how they will response in case of a
19 threat or an emergency at any of these major facilities.

20 **CHAIRMAN GRAHAM:** Hold on a second.

21 Commissioner Brisé.

22 **COMMISSIONER BRISÉ:** Thank you. I know that
23 you're speaking about physical security. Is there
24 something similar for cyber security type activity?

25 **MR. ODOM:** Oh, yes. There are many cyber

1 security standards that have been in place some time.
2 Version 5 of those standards have just been approved and
3 are being put in place right now. And so there are some
4 very, very comprehensive things in place addressing
5 cyber security. And, you know -- through -- starting
6 with who has access and how they're vetted and what
7 their background is, all the way through providing six
8 wall barriers for those critical cyber assets. So those
9 were in place.

10 What's different about this is with the
11 physical security standard -- the electric grid is
12 across the entire continent. You know, it's not, not
13 within four walls of buildings like most of the cyber
14 things. And so this is the first time that there's been
15 a standard in place that addresses any physical threat
16 other than a physical threat to those cyber assets.

17 As I, as I said, FERC was, the Federal Energy
18 Regulatory Commission was proposing two major changes to
19 the draft standard that was, or to the standard that was
20 approved by the industry and submitted to them. The
21 first is they're -- and they're asking for comments from
22 the industry right now. The first is it would allow
23 applicable government authorities to add or remove
24 facilities from an entity's identified list. So
25 essentially they're saying they believe they should be

1 able to identify a facility as significant and add it to
2 the list. And then the second one that's fairly
3 significant to the industry is -- we use a term that's
4 probably a little more art than science of widespread
5 instability, meaning that the system could start to have
6 oscillations that could cause us to have cascading
7 outages. And we call those widespread events, and
8 they're proposing that we remove that and just any
9 instability. And so I'm sure many of the utilities are
10 going to provide comments about that.

11 In addition to the proposed standard, the
12 industry and FRCC have taken many other actions as a
13 result of this renewed focus on physical security.

14 Last year NERC held a GridEx exercise where
15 they actually simulated a cyber and physical attack
16 across the United States, and FRCC participated in that
17 as well as many of our entities. And that was, that was
18 quite an interesting exercise to understand the need for
19 communication and how we're responding and how our
20 emergency response plans, both the utilities' and
21 FRCC's, some of the things that we may need to change in
22 those. So that's one thing that happened as a result of
23 that.

24 Next, FRCC already has real-time
25 communications between all the control systems in

1 Florida, and so it's an all-call system. So if the, if
2 an individual entity did have a credible threat and
3 think that it might be a part of a coordinated attack,
4 it's one phone call to the reliability coordinator,
5 which is responsible for the overall reliability of the
6 grid, and everyone, all the major utilities that have
7 transmission systems in Florida will be notified
8 immediately.

9 Another thing FRCC has done to address that is
10 that we held a workshop on all the cyber security
11 standards, including physical, and shared best practices
12 and lessons learned with entities and made that
13 available to other utilities.

14 And finally, FRCC has a Critical
15 Infrastructure Protection Subcommittee, and they meet
16 monthly to address best practices and lessons learned
17 both on physical and cyber security.

18 So the utilities in Florida are very concerned
19 about these issues, they're very engaged, and the needs
20 of all of them are well aligned to try to ensure that if
21 something like this attack happens here, that we'll be
22 able to response.

23 The other thing that's a little bit unique
24 about Florida, that because of all our storms, our
25 hurricanes, we're pretty well practiced at emergency

1 operations and emergency procedures and we drill on
2 those each year. And so, you know, so these kind of
3 threats and these kind of activities are built upon a
4 pretty solid foundation of communication between the
5 utilities.

6 So that concludes the physical security
7 section. I've got two more slides, an overall
8 conclusion for the presentation. 20 percent reserve
9 margins throughout the year. Energy production from
10 natural gas is expected to increase by 10 percent. The
11 third gas pipeline is under development. We're going to
12 continue to monitor and evaluate what kind of
13 reliability impacts there may be from a change in
14 resource mix associated with the proposed EPA rules.
15 The Crystal River Units 1 and 2 being extended out to
16 April 2018, and the new combined cycle units at that
17 location are -- have addressed the transmission
18 reliability concern we've got in that area. And that
19 the physical security standard with FERC issuing its
20 NOPR, utilities are all providing comments on that. So
21 with that, Mr. Chairman, that concludes my presentation.

22 **CHAIRMAN GRAHAM:** Mr. Odom, I wanted to thank
23 you for coming today and for this slide presentation.
24 It's a lot of information in here.

25 Commissioners, any questions on Mr. Odom --

1 for Mr. Odom, of Mr. Odom before we move to public
2 comment? No?

3 Ms. Csank, you are up.

4 **MS. CSANK:** Good afternoon, Mr. Chairman,
5 Commissioners. Diana Csank on behalf of the Sierra
6 Club.

7 When it comes to energy services, families and
8 businesses largely rely on the Commission to sort out
9 their options and direct their hard-earned dollars
10 towards safe, reliable, cost-effective power delivered
11 by Florida's utilities. And for a long time this
12 regulatory compact worked here in Florida. Through the
13 ten-year site planning process and various dockets the
14 Commission managed to oversee the utilities and protect
15 consumers' interests. But in recent years consumers
16 have been saddled with some indisputably bad deals, and
17 bargains that would save energy and expand consumer
18 choices are missing year after year from the plans and
19 proposals filed with this Commission by the utilities.

20 Sierra Club maintains that the ten-year site
21 planning process is one place where the Commission has
22 the power and the responsibility to lead the utilities
23 to correct course. These annual conversations about
24 planning are exactly where the Commission should ask the
25 tough questions and hold utilities accountable for

1 thorough, well-researched, and well-documented answers.

2 In particular, Sierra Club urges the
3 Commission to correct three flaws in the planning
4 process.

5 First, Florida power companies still do not
6 compare resources in an evenhanded manner. Alternative
7 energy options are ignored or screened out before they
8 can compete with conventional power plants. This denies
9 everyone, the Commission and stakeholders, the
10 opportunity to systematically identify and pursue safe,
11 cost-effective energy choice. In other words, we're
12 missing the better deals because of a flawed planning
13 process. And without elaborating or rehashing too much
14 the FEECA goal setting hearing that took place here a
15 few weeks ago, we saw there, for example, the two-year
16 payback screen and the Rate Impact Measure test as
17 examples of these types of screens that prevent some of
18 the most cost-effective resources, energy efficiency
19 measures from going into the utility's modeling and
20 being part of these resource planning discussions.

21 Second, planning for compliance with
22 environmental regulations all too often happens in a
23 reactive -- in reactive piecemeal spurts. Take, for
24 example, Gulf Power's failure to plan for mass
25 compliance for the two coal burning units at Lansing

1 Smith. It's been over two years since Sierra Club filed
2 comments urging Gulf Power to conduct a thorough
3 analysis of the options to replace these uneconomic
4 units with safe, cost-effective resources, especially
5 energy efficiency. But today Gulf Power still has no
6 compliance plan. Gulf Power's April filing says so and
7 merely, quote, assumes that the two old coal units will
8 keep burning coal over the next ten years. So the
9 additional portion of the resource mix that we just
10 heard will be made up by natural gas. Well, that
11 doesn't fully take into account resource decisions like
12 this decision at Lansing Smith that keep being delayed
13 and deferred.

14 And so back to Gulf Power's assumption that
15 these two old coal units will just keep burning coal
16 over the next ten years, what is that assumption based
17 on? The filing doesn't say. And how does Gulf Power
18 account for having no plan to meet regulations that have
19 been in the works for 22 years and were finalized more
20 than two years ago? Gulf's plan is silent.

21 Has Gulf Power learned from its sister
22 subsidiaries? Those subsidiaries filed MATS compliance
23 plans long ago. And in some instances where, for
24 example, Georgia Power decided to implement controls to
25 comply with MATS, those controls took over three and a

1 half years to install from the construction date. So
2 for a regulation that will go into effect next year,
3 it's troubling that the company still doesn't have a
4 plan. This Commission has approved certain transmission
5 upgrades and they're important, but in terms of actually
6 meeting the letter of the law and the MATS regulation,
7 we still don't have a plan for that at Lansing Smith.

8 And what we're talking about here is a
9 compliance plan for controlling hazardous air
10 pollutants: Mercury, acid gases, and other highly toxic
11 chemicals. Every day Gulf delays gratuitously harms
12 public health and also hurts Floridians' wallets.
13 Instead of sending hard-earned dollars out of state to
14 buy coal, Gulf should grow the clean energy economy in
15 the Panhandle. This is true for other power sector
16 regulations. And so the Sierra Club urges the
17 Commission to ask the tough questions about compliance
18 options and costs for the regulations that apply to
19 Florida's power sector, including the Clean Power Plan.

20 Sierra Club also urges the Commission to
21 specifically hold the utilities accountable for
22 investigating and pursuing the most effective resource
23 mix potentially with the help from independent analysts
24 from, for example, the Regulatory Assistance Project,
25 the Georgetown Climate Center, and the Nicholas

1 Institute. They all stand at ready to assist this
2 Commission with these important regulatory compliance
3 issues.

4 And finally, planning to rely even more on
5 burning natural gas misses the imperative to diversify
6 Florida's power mix. This is the year 2014. The
7 outlook for conventional generation is dim. So why
8 should Floridians double down on power plants,
9 especially gas burning plants, when we just heard we
10 don't have in-state natural gas supply, we have minimal
11 storage and limited infrastructure. The plans before
12 the Commission today would lock consumers into decades
13 of expenditures on plans that come with great market and
14 regulatory risk. What's the price tag on the various
15 proposals to secure Florida's current levels of natural
16 gas? What about even higher reliance on gas? What are
17 the risks associated with the current gas power and
18 proposed expansion of it? How much will this cost
19 accounting for the risk ten years out and 30 or 40 years
20 out, which is how long these new expenditures in natural
21 gas plants are supposed to last? Are there more
22 flexible, safer alternatives; for example, energy
23 efficiency home grown solar power? Why does Florida
24 have less than other states and even less ambitious
25 plans for the future? These are all questions that

1 should be put to the utilities and they should have
2 well-documented, well-reasoned answers to help inform
3 the Commission's decision and ultimately enable it to
4 conclude that the plans are suitable to meet Floridian
5 families' and businesses' needs.

6 Sierra Club urges the Commission to defer
7 approval of any more gas plants until the utilities do
8 just that, and we especially urge the investigation of
9 in-state energy resources like solar and energy
10 efficiency.

11 So in conclusion, there's an opportunity here
12 to correct these flaws in Florida's resource planning
13 and to better identify the most cost-effective resource
14 options going forward that take into account the various
15 costs and risks that we've discussed here today and in
16 previous years.

17 And Sierra Club is certainly not alone in
18 making this recommendation and focusing on resource
19 planning. We point to the fact that the Florida Energy
20 Office applied this year to the U.S. Department of
21 Energy for funds to assist with improvements to power
22 sector planning in Florida, especially with a focus on
23 boosting energy efficiency and stakeholder engagement.

24 So on behalf of the Sierra Club, thank you,
25 Commissioners, for this opportunity to participate in

1 the workshop, and I look forward to your questions.

2 **CHAIRMAN GRAHAM:** Thank you, Ms. Csank.

3 Commissioners, any questions of the Sierra
4 Club or Ms. Csank?

5 Okay. Is there anybody else here that came to
6 speak for public comment during this workshop?

7 Okay. Seeing none, any final comments from
8 Commissioners or final questions of either of the two
9 speakers?

10 I do thank you both very much for your
11 presentation and the information you gave us. And that
12 all being said, we are adjourned. Thank you very much.

13 (Proceeding adjourned at 2:39 p.m.)
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF FLORIDA)
2 COUNTY OF LEON) : CERTIFICATE OF REPORTER

3
4 I, LINDA BOLES, CRR, RPR, Official Commission
5 Reporter, do hereby certify that the foregoing
6 proceeding was heard at the time and place herein
7 stated.

8 IT IS FURTHER CERTIFIED that I stenographically
9 reported the said proceedings; that the same has been
10 transcribed under my direct supervision; and that this
11 transcript constitutes a true transcription of my notes
12 of said proceedings.

13 I FURTHER CERTIFY that I am not a relative, employee,
14 attorney or counsel of any of the parties, nor am I a
15 relative or employee of any of the parties' attorney or
16 counsel connected with the action, nor am I financially
17 interested in the action.

18 DATED THIS 18th day of August, 2014.

19
20
21
22
23
24
25


LINDA BOLES, CRR, RPR
FPSC Official Hearings Reporter
(850) 413-6734