

P R O C E E D I N G S

1
2 **CHAIRMAN BROWN:** Welcome, everyone. Today is
3 Wednesday, September 14th. If you could kindly silence
4 your phones and electronic devices at this time, that
5 would be much appreciated.

6 This is the Ten-Year Site Plan Commission
7 workshop. And it's always one of my highlights of being
8 a Commissioner to listen to what the folks are doing, so
9 I'm excited to hear from all of you today, and this
10 meeting is called to order.

11 Staff, can you please read the notice.

12 **MS. LHERISSON:** Yes, Madam Chair. We are here
13 pursuant to notice issued on August 18th, 2016. This
14 time and place is set for the Commission workshop on
15 Florida's electric utilities' 2016 Ten-Year Site Plans.
16 The purpose of this workshop is set out in the notice.

17 **CHAIRMAN BROWN:** Thank you so much.

18 The Florida Reliability Coordinating Council
19 is here today, welcome, and to discuss its 2016 regional
20 load and resource plan and statewide fuel reliability.
21 Duke Energy, Gulf Power, Florida Power & Light, and
22 Tampa Electric are also here today to provide
23 presentations to us. And I do note that Sierra Club and
24 SACE have mentioned that they would like to speak after
25 them.

1 Following the presentations of all of that, we
2 will have opportunity for public comment as well, and we
3 have a podium dedicated to that over there.

4 We're going to move to the presentations at
5 this time. And the order of presentations -- we will
6 begin with the Florida Reliability Coordinating Council.
7 Ms. Stacy Dochoda, who is president and CEO of the FRCC,
8 will be giving her presentation to us. So I'd like to
9 welcome you.

10 **MS. DOCHODA:** Let me just see if the mic is
11 on. Yes.

12 Good morning, Chairman Brown, Commissioners.
13 Thank you for having me today. I will help you a little
14 bit with my name. I know it's a real struggle. The C
15 in my last name is completely silent. It's Dochoda,
16 Stacy Dochoda. Thanks so much.

17 I am the president and CEO of the Florida
18 Reliability Coordinating Council, and we're so pleased
19 to be able to come again and present the Ten-Year Site
20 Plan.

21 I'll address traditional Ten-Year Site Plan
22 topics of the load forecast, generation additions,
23 reserve margins, and fuel mix. In addition, I'll
24 provide an overview of the utility's integrated resource
25 plans and how those plans fit into the FRCC resource

1 planning process and Ten-Year Site Plan report. I'll
2 also address today FRCC fuel reliability and the
3 reliability in the FRCC region.

4 The mission of the Florida Reliability
5 Coordinating Council is to promote and assure the
6 reliability of the bulk power system in peninsular
7 Florida. Based on the Ten-Year Site Plans, planned
8 reserve margins are expected to be greater than
9 20 percent over the ten-year horizon. Demand-side
10 management will continue to be a significant component
11 of projected reserves. Renewables are projected to be
12 about 2 percent of energy served by 2025. Natural gas
13 as a percentage of energy served is projected to be
14 approximately 65 percent over the next ten years. And,
15 finally, the EPA Clean Power Plan effects, those will be
16 addressed in future Ten-Year Site Plans once the
17 litigation over that plan is resolved.

18 So I'll begin with the load and resource plan.
19 In Florida, each utility does its own integrated
20 resource plan. The utility will prepare forecasts of
21 electric demand and energy usage considering drivers
22 such as customer growth, impacts of energy efficiency,
23 and also average weather.

24 The utility will also develop a fuel and
25 resource price forecast. Utilities consider the

1 available demand and energy that can be produced by
2 their existing resources, and they also factor in any
3 plans for modifications like upgrades or efficiency
4 improvements, and also consider the impact of any
5 resource retirements that they have planned or the
6 expiration of purchased power agreements. So they look
7 at both their forecasts on load and demand and energy
8 and the resource requirements -- resource availability.

9 They compare those demand and energy needs and
10 the resource availabilities to their target reserve
11 margin criteria and other reliability criteria, and
12 where there is a gap or shortfall, then the utility will
13 consider the options for meeting those reserve margin
14 targets. The options can include supply-side resources
15 such as new generation or purchased power, or they can
16 include demand-side options such as load control. So
17 the costs of -- the costs in the operating criteria of
18 those options would then be used to evaluate the
19 alternatives, and the result of that analysis taken
20 together forms the utility's integrated resource plan.

21 So then at FRCC, the individual utility
22 integrated resource plans are brought together to create
23 the FRCC load and resource plan that we provide to the
24 Commission. In addition, at FRCC we use the load and
25 resource plan data to conduct reliability assessments of

1 generation adequacy and transmission reliability.

2 Now I'll discuss the load forecast. Now while
3 economic factors are a positive driver of the load
4 forecast over the next ten years, increasing impacts
5 from energy efficiency codes and standards are causing
6 the per-customer usage to decline, and so that, put
7 together, the forecasted energy sales and peak demands
8 for the 2016 Ten-Year Site Plan is lower than the 2015
9 Ten-Year Site Plan.

10 And this chart shows the impact of the energy
11 efficiency codes and standards in the load forecast. As
12 a point of reference, those codes and standards are
13 projected to reduce summer peak and energy usage by over
14 3.5 percent by 2025. For summer peak demand, this
15 year's Ten-Year Site Plan has an average growth rate of
16 1.13 percent compared to 1.46 percent in 2015. The
17 drivers to the flattening demand include lower usage per
18 customer, as I mentioned before, and the increasing
19 impact of energy efficiency codes and standards.

20 This is the winter firm peak demand forecast.
21 2016 starts a little lower than last year's Ten-Year
22 Site Plan and then approaches last year's forecast.
23 We've had very mild winters in many recent years, and
24 those have impacted the weather averages that are used
25 to develop the winter forecast.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

The 2016 energy forecast has a compound annual growth rate of 1 percent. On average, this 2016 energy forecast has shifted downward about 2.7 percent from the 2015 forecast. The main drivers are lower usage per customer and also the increasing impact from the energy efficiency codes and standards and, to a more modest degree, customer self-generation, including the impacts of distributed solar.

This graph shows the current forecast demand compared to the trend line of the actual demands from 1990 to 2015. Again, you can see that the current forecasts are shifted down somewhat from what a historical trend line would predict.

On slide 14, on this graph we have the red line, which is projected summer firm peak demand. The upper yellow line is demand without demand response and energy efficiency programs. Demand response lowers the demand forecast by 6.3 percent by 2025. Utility energy efficiency programs are projected to reduce demand by 1.4 percent by 2025.

Here we have the compound average annual growth rate for firm peak load summer and winter. The 2016 Ten-Year Site Plan summer compound annual growth rate is 1.13 percent and winter, 1.02. This chart, you can really see the decline in forecasted growth rates

1 from around 2 percent in the early 1990s to around
2 1 percent today.

3 Okay. Now I'm going to switch from the load
4 forecast to resource capacity. This bar chart shows the
5 available capacity over the ten-year horizon. It
6 includes the impact of new builds and retirements. A
7 net of 8,300 megawatts of additional generation is
8 planned for the FRCC region over the ten years. There's
9 about 9,700 megawatts of combined cycle planned,
10 2,400 megawatts of combustion turbine, 1,100 megawatts
11 of nameplate solar, and then there are also about 4,300
12 megawatts of planned retirements, which are coal and
13 less efficient steam and combustion turbine units.

14 On slide 17, using the forecasted firm load
15 and the projected available resources, we've calculated
16 the reserve margin over the ten-year period. We project
17 that reserve margins based on the firm load to be above
18 20 percent over the forecast period.

19 On slide 18 here we have reserve margins
20 excluding demand response and utility energy efficiency
21 programs. This summer, generation only reserve margin
22 declines from about 15 percent in 2016 to 13 percent in
23 2018, and then remains at approximately 15 percent for
24 the remaining years. The FRCC region continues to have
25 the most significant portion of reserves coming from

1 demand response compared to the rest of North America.

2 So to summarize the reserve margin review,
3 based on the 2016 Ten-Year Site Plans, reserve margins
4 are planned to be greater than 20 percent over the
5 ten-year horizon, and demand response is projected to
6 continue to be a significant portion of our reserves.

7 Now I'll move to a discussion of fuel mix.
8 These pie charts show the fuel mix on an energy basis.
9 Natural gas continues to be the largest fuel source at
10 between 61 and 64 percent. Renewables grow from
11 1 percent in 2016 to 2 percent in 2025. And just as a
12 point of reference, it takes about a thousand megawatts
13 of nameplate additional solar generation for solar to
14 provide about 1 percent of energy in the FRCC region.

15 This is the fuel mix in installed capacity.
16 Natural gas-fired capacity is between 71 and 74 percent
17 on a megawatt basis over this time period.

18 This pie chart breaks down our current
19 renewable resource capacity. Out of 1,583 megawatts
20 currently, the largest percentage comes from biomass at
21 37 percent and municipal solid waste at 28 percent.
22 Solar is 11 percent of current renewable capacity.

23 Planned additions of renewables over the ten
24 years include 278 megawatts of biomass and
25 1,167 megawatts of nameplate solar. For nuclear

1 capacity, we currently have about 3,600 megawatts, with
2 40 megawatts of planned upgrades during the ten-year
3 horizon.

4 Moving to the Clean Power Plan, the Clean
5 Power Plan remains stayed, with oral arguments currently
6 scheduled for September 27th. So impacts of the Clean
7 Power Plan would be addressed in future Ten-Year Site
8 Plans.

9 So summarizing the load and resource plan, the
10 region is projected to have adequate planned reserves
11 over the ten-year period. Demand response and the
12 effective energy efficiency codes and standards will
13 continue to be a significant component of our reserves.
14 Natural gas will be about 65 percent of energy, and
15 renewables are projected to be 2 percent of energy by
16 2025.

17 So now I'll discuss fuel reliability in the
18 FRCC region. FRCC has a Fuel Reliability Working Group
19 which reviews existing interdependencies of fuel
20 availability and electric reliability and also
21 coordinates regional responses to fuel issues and
22 emergencies in real time.

23 In the FRCC region, energy production from
24 natural gas has increased significantly from the year
25 2000 to today and is projected to continue to increase.

1 So looking at the ways that the region has
2 mitigated the reliance on natural gas as a region, we
3 have a significant portion of natural gas-fired units
4 that can also burn alternate fuels such as fuel oil.
5 Dual fuel capability is expected to remain between
6 70 and 75 percent of the total megawatts of natural gas
7 capacity over the ten-year period.

8 As to natural gas delivery infrastructure,
9 Florida currently has two major natural gas pipelines.
10 The Florida Gas Transmission has capacity of 3.5 Bcf a
11 day, and Gulfstream has 1.3 Bcf a day. Since about
12 65 percent of our energy production is from natural
13 gas-fired generation, the natural gas delivery
14 infrastructure is very important for electric
15 reliability.

16 There is a third natural gas pipeline under
17 construction with an expected in-service date of mid
18 2017. The new system includes the Sabal Trail pipeline
19 and the Florida Southeast Connection, which connects to
20 the Sabal Trail at the new Central Florida Hub. The new
21 pipelines will provide increased fuel supply
22 flexibility. The Central Florida Hub interconnection
23 provides increased operational reliability by connecting
24 the two existing pipelines with Sabal Trail and Florida
25 Southeast Connection, and it allows the capability to

1 transfer gas between the pipelines. So with the new
2 pipelines there will be improved delivery diversity by
3 adding that third pipeline.

4 Additional fuel flexibility is available
5 through contracts the utilities have with natural gas
6 storage facilities out of state. This storage can yield
7 about 1 Bcf a day of natural gas.

8 So summarizing our review of fuel reliability
9 for the region, we have enough existing and planned
10 pipeline capacity to support electric generation. We
11 have additional flexibility from gas storage contracts
12 and significant dual fuel capability. The third gas
13 pipeline will be an important increase in natural gas
14 supply diversity, capacity, and reliability for the
15 region.

16 So to conclude my discussion today, again
17 reserve margins are projected to be above the target of
18 20 percent for the next ten years, natural gas will be
19 about 65 percent of energy production, and the third
20 pipeline, dual-fueled units, and out-of-state gas
21 contracts support reliability in the region. The
22 effects of the Clean Power Plan will be discussed in
23 future Ten-Year Site Plans. So with that, I'd be happy
24 to answer any questions that you have.

25 **CHAIRMAN BROWN:** Thank you, Ms. Dochoda. I

1 appreciate the presentation.

2 Commissioners, I do have a couple of
3 questions, so if you'd just hold off on yours for a
4 second. Can you please turn to page 15 of your report?

5 **MS. DOCHODA:** Sure.

6 **CHAIRMAN BROWN:** Oh, I'm sorry. Page 17.

7 **MS. DOCHODA:** Okay.

8 **CHAIRMAN BROWN:** And it's also discussed on
9 page 18 for the year 2018. Can you explain what's
10 happening in the 2018 year for firm load in the summer?

11 **MS. DOCHODA:** Let me make sure I'm on the same
12 page. 17 or 18?

13 **CHAIRMAN BROWN:** Yes, 17.

14 **MS. DOCHODA:** 17. Okay. And, I'm sorry, the
15 question?

16 **CHAIRMAN BROWN:** I like to confuse you.

17 **MS. DOCHODA:** Thank you.

18 **CHAIRMAN BROWN:** For the year 2018 on page 17,
19 what's happening in 2018 for firm load in summer?

20 **MS. DOCHODA:** In -- are you asking, like, the
21 firm load is approximately steady? Is that --

22 **CHAIRMAN BROWN:** It's lower. It is lower than
23 the other years as well on page -- 2018 without demand
24 response, it looks to be lower than the other years for
25 the summer.

1 **MS. DOCHODA:** You know, I'm afraid I don't
2 have that at hand, but I bet my folks here can help me
3 come up with an answer, and perhaps I could answer at
4 the -- toward the end of the day.

5 **CHAIRMAN BROWN:** That sounds great. Also on
6 your presentation you talk about population growth
7 remaining strong. Do you have what the projected rate
8 of growth is for population throughout the state over
9 the ten-year period?

10 **MS. DOCHODA:** I think I do. Let's see. We do
11 have that. Denise, do you have that handy?

12 We haven't reduced it to a rate of growth, but
13 we show a change that has occurred historically from,
14 like, 18.8 million to about 20.3 million is the change
15 over a five-year period. And, again, we could follow up
16 with a little bit more detail, if you'd like.

17 **CHAIRMAN BROWN:** Okay. Thank you. Appreciate
18 that.

19 **MS. DOCHODA:** Sure.

20 **CHAIRMAN BROWN:** Commissioners, any questions
21 for Ms. Dochoda? Commissioner Edgar.

22 **COMMISSIONER EDGAR:** Thank you, Madam Chair.
23 Good morning.

24 **MS. DOCHODA:** Good morning.

25 **COMMISSIONER EDGAR:** Thank you so much for

1 being here. The work that you do has always fascinated
2 me, so thank you.

3 A couple of times in your presentation you
4 mentioned that the impacts of the Clean Power Plan would
5 be assessed in a future planning period, which I found a
6 little confusing because you also mentioned that there
7 are some, you know, coal plants that have closed, and my
8 understanding is that many of our utilities have taken
9 steps, a variety of measures to reduce carbon or to be
10 more efficient or to -- so when you say the Clean Power
11 Plan will not be taken into account, can you just
12 elaborate as to what you mean by that?

13 **MS. DOCHODA:** Sure.

14 **COMMISSIONER EDGAR:** Thank you.

15 **MS. DOCHODA:** No, I'd be happy to. I think,
16 frankly, there's numerous things that affect, you know,
17 a retirement, and I don't know that they could be
18 necessarily attributed to any one particular driver. So
19 certainly perhaps some of the retirements are influenced
20 by the Clean Power Plan. But I do believe that, and the
21 utilities may want to speak to it more specifically, but
22 I believe that the MATS regulation also heavily
23 influenced some of the decisions that were being made,
24 and then also just the simple economics of the
25 current -- the current economics of the gas and coal.

1 So I think all of those drivers are impacting the
2 retirements that we're seeing.

3 But I do believe, in terms of any further
4 impacts that might be from the Clean Power Plan, it is
5 possible we would see further impacts in future Ten-Year
6 Site Plans that we don't see today.

7 **COMMISSIONER EDGAR:** Thank you.

8 **CHAIRMAN BROWN:** Thank you.

9 Commissioners, any further questions?

10 Thank you very much for your presentation and
11 for coming up to Tallahassee.

12 **MS. DOCHODA:** Thank you so much.

13 **CHAIRMAN BROWN:** All right. Moving on to the
14 Florida investor-owned utilities. We have before us --
15 the order will begin Duke Energy, Gulf Power, Florida
16 Power & Light, and then Tampa Electric.

17 And from Duke Energy we have Mr. Ben Borsch
18 here. He's director of integrated resource planning.
19 And welcome.

20 **MR. BORSCH:** Thank you. Good morning,
21 Commissioners.

22 **CHAIRMAN BROWN:** Good morning.

23 **MR. BORSCH:** Thank you for the opportunity to
24 present and update on the DEF resource planning process.
25 Although our overall process has not changed

1 significantly, DEF, like the other Florida utilities,
2 continues to update our processes to accommodate changes
3 in generating technologies and in customer behavior and
4 in technology adoption.

5 Florida Statutes define the obligation of the
6 utilities to provide sufficient, adequate, and efficient
7 service at rates that are defined to be fair and
8 reasonable. At Duke Energy, we express this as a
9 mission to provide our customers with electricity that
10 is safe, reliable, affordable, and increasingly clean.
11 To this end, we work within a planning process that
12 focuses on developing plans for reliable and sufficient
13 generation, and then selects among those options for
14 cost-effective generation and improving environmental
15 impacts.

16 At a high level, the generation planning
17 process is driven by a balance of customer consumption
18 with the available resources. DEF forecasts future
19 system needs, taking into account both the demands of
20 the customer and the needs of the system for
21 reliability, and then weighs that system demand against
22 the available resources accounting for unit conditions,
23 potential retirements, contract terms, and other
24 operating factors. This evaluation determines our need
25 for additional resources in the future.

1 The load forecast is one of the most important
2 elements in long-range planning. In the past, the DEF
3 load forecast has focused on three principal types of
4 variables: Economic growth, numbers and classes of
5 customers, and weather.

6 As we project into the second half of this
7 decade, into the 2020s and beyond, we are also focusing
8 on three additional and interrelated areas: Organic
9 energy efficiencies, distinct from utility-sponsored
10 programs, which appears principally in the form of
11 mandated updates to efficiency codes and standards;
12 customer behavior; and behind-the-meter generation,
13 predominantly in the form right now of customer-owned
14 solar. Collectively these three elements have combined
15 to result in an increasing reduction in DEF's long-term
16 expectation of the growth in both energy and capacity
17 needs, and this is evident in the trends shown statewide
18 on slide 12 of the FRCC presentation. These also have
19 an impact on the load shape, which in turn affects both
20 the capacity need and the system support requirements.

21 DEF then reviews the existing fleet of
22 resources. Units are reviewed for reliability, for
23 remaining life and potential risks, for functions within
24 the portfolio. As we look to the future and the
25 introduction of more and more intermittent resources,

1 there is a particular focus on fleet flexibility and on
2 maintaining system reliability not only in terms of
3 generation but also power quality.

4 DEF then looks at new resource alternatives
5 and options. DEF renews alternative technology options
6 for commercial and technical feasibility; for portfolio
7 fit, that is the way in which a technology works within
8 the portfolio to serve the demand; and cost, considering
9 the life cycle cost of the system.

10 Economic comparisons of technologies depend on
11 all different factors: Fuel price, capital cost, any
12 other operating assumptions, and utilization rates are
13 also a key factor in how a particular unit may fit
14 within the system. So we perform detailed modeling to
15 make sure that there's a balance in the way that
16 different units are operated.

17 So the single element of technology cost can't
18 be reviewed in a vacuum. It has to be reviewed in the
19 context of the whole system comparison. Often times
20 you'll see comparisons of technologies strictly on a
21 levelized cost basis, which is indicative of how they
22 might fit in an overall stack, but it's not by itself
23 sufficient for planning because you have to have that
24 balance of understanding how units will perform in an
25 overall system. That -- excuse me.

1 So DEF evaluates technologies in three
2 different categories, what we call emerging, developing,
3 and mature technologies.

4 Emerging technologies are considered to be
5 undergoing considerable technological or commercial
6 change and are evaluated but typically not considered in
7 a given year's resource plan. Duke Energy's Emerging
8 Technology Office meets regularly with the developers of
9 a wide range of technologies that are currently in
10 development to perform evaluations and understand the
11 potential for these technologies to be utility ready.

12 Mature technologies are those that are well
13 known, widely deployed, typically stable in their
14 technology development and in their costs. Duke Energy
15 works with engineering consultants who provide costs for
16 current installations of these technologies and
17 projections of cost changes and incremental improvements
18 based on discussions with the manufacturers and with
19 their own EPC experience.

20 Developing technologies are those which are
21 commercialized and are receiving wide deployment but
22 which are also expected to undergo significant
23 commercial or technical change in the next five years.
24 PV solar remains in this category as Duke Energy expects
25 to see ongoing improvements both in unit efficiency and

1 most especially in installed cost. In this regard, Duke
2 utilizes a combination of our current experience from
3 recent RFPs, from installed project costs, with
4 consultant expectations of future price and technology
5 changes. Developing technologies are expected to have
6 levelized costs with declines exceeding 20 percent over
7 five years.

8 Technology costs are made up of different
9 components. And while I talked a moment ago about the
10 insufficiency of levelized cost comparisons, they do
11 provide a useful indicative measure. Levelized cost
12 comparisons can show you the elements of different
13 technology costs and their relative prices, although
14 they're not by themselves sufficient for planning
15 because they don't give you hourly performance and
16 detailed unit behavior. Levelized costs can then be
17 used to develop busbar curves, which again are an
18 adequate screening tool but not definitive for planning.
19 This view begins to give us a comparison of how these
20 technologies will perform in terms of their effective
21 capacity factors and their overall use.

22 We develop definitive data and detailed data
23 for each technology that we evaluate. Detailed data
24 includes data on equipment purchase and construction,
25 fuel use, dispatch and operating costs, capital

1 maintenance and parts requirements, emissions costs, as
2 well as performance and affected -- expected efficiency
3 degradations and outage cycles.

4 These are incorporated into our detailed
5 production cost models and evaluated for different
6 portfolio costs and feasibility. Recognizing that this
7 is a process that DEF performs more than once a year,
8 DEF generally anticipates need several years in advance
9 of the actual need and of the time frame in which
10 specific action must be taken. As a result, while a
11 particular unit may appear in the plan, that unit, if
12 it's farther in time than the time required to permit,
13 construct, and engineer a project, the unit becomes
14 essentially a placeholder representing an identified
15 need which will continue to be evaluated until it
16 becomes the next planned generating unit. During that
17 period, DEF begins to evaluate specific options that
18 would influence a final selection, including technology
19 options, locations, and grid impacts. As well during
20 this evaluation, the resource need, the technology,
21 performance, and costs and other factors like
22 environmental regulations or fuel prices may change,
23 resulting in an alternative choice before the selection
24 of a specific project.

25 So finally we reach DEF's 2016 plan. The

1 current resource plan includes several units selected
2 through the need process in recent years which are
3 committed and coming into service in the next 24 months
4 or so. The next new unit need is not projected until
5 2024. The selected combustion turbines will continue to
6 be evaluated over the next several years. DEF has also
7 projected that construction costs, fuel costs, and
8 environmental policy will favor the installation of a
9 significant amount of solar generation over the next
10 ten-year period, while this too will continue to be
11 evaluated.

12 **CHAIRMAN BROWN:** Mr. Borsch, not to -- my
13 apologies for interrupting you.

14 **MR. BORSCH:** That's okay.

15 **CHAIRMAN BROWN:** But on this chart, the red,
16 those are retirements?

17 **MR. BORSCH:** Yes. Yeah, the red are units
18 which either represent retirements, contract
19 expirations, or unit derates, which are -- so
20 effectively all of those reds are elements which would
21 reduce our generating capacity.

22 **CHAIRMAN BROWN:** And, conversely, the blue?

23 **MR. BORSCH:** And, conversely, the blue are
24 additions.

25 **CHAIRMAN BROWN:** Thank you.

1 **MR. BORSCH:** And that actually is a perfectly
2 timed question because I'm at the end. So thank you.

3 **CHAIRMAN BROWN:** I planned it that way.

4 Commissioner Brisé.

5 **COMMISSIONER BRISÉ:** Thank you, Madam Chair.

6 Thank you for your presentation. So you
7 mentioned the process of determining which new
8 technologies that Duke would take into account. Are you
9 in a position to share some of those technologies that
10 are considered emerging now that Duke is exploring?

11 **MR. BORSCH:** Well, I think we can -- yeah, I
12 mean, I think we're not doing anything that's completely
13 secret here. So even on the slide, if I could find it,
14 which I may --

15 **CHAIRMAN BROWN:** It's page 8.

16 **MR. BORSCH:** Yeah, there we go. We have --
17 you know, we're looking -- there's just a few examples.
18 Certainly there's a wide range of things. And our
19 technology evaluations include not only things that
20 would be considered conventional generating technologies
21 like wind or, you know, for instance, small modular
22 nuclear or any number of things, but also things which
23 are grid tied or demand-side technologies. We're
24 looking at a variety of arrays of new demand-side
25 technologies, evaluating how the utility might

1 participate in the deployment of, you know, for
2 instance, programmable water heaters and, you know, as
3 well as smart grid technologies. So there's a pretty
4 wide envelope of different kinds of things that we're
5 keeping an eye on.

6 **COMMISSIONER BRISÉ:** I think at one of the
7 NARUC meetings I went to there was a conversation around
8 underwater hydro. So is there any conversation at Duke
9 surrounding that?

10 **MR. BORSCH:** Well, I think you're probably
11 referring, for instance, to, you know, tidal hydro.

12 **COMMISSIONER BRISÉ:** Uh-huh.

13 **MR. BORSCH:** It's on our list. I know that,
14 you know, when the emerging technology guys publish
15 their large list of technologies that that does appear
16 on the list. I haven't been given an update on their
17 findings on that recently.

18 **COMMISSIONER BRISÉ:** Sure.

19 **MR. BORSCH:** But it is in the envelope.

20 **COMMISSIONER BRISÉ:** Okay. All right. Thank
21 you.

22 **CHAIRMAN BROWN:** Thank you, Commissioner
23 Brisé.

24 Commissioners, any further questions?

25 Just one quick question about the percentage

1 of Duke's customers using behind-the-meter generation
2 such as solar. Do you have a number?

3 **MR. BORSCH:** I don't have a number, but it's
4 quite small. I know that it's less -- well less --
5 significantly less than 1 percent at this point. So
6 it's, you know, it's -- on the other hand, it's also
7 growing very rapidly. I think we've seen more than a
8 doubling in the last year. So it's kind of on -- you
9 know, we're still sort of in the infancy, but we are
10 anticipating and already experiencing a very rapid
11 growth rate.

12 **CHAIRMAN BROWN:** Thank you. Thank you for
13 your presentation.

14 All right. Moving on to Gulf Power. We have
15 with us today, from Gulf Power, Sybelle, Sybelle
16 Fitzgerald.

17 **MS. FITZGERALD:** Sybelle.

18 **CHAIRMAN BROWN:** Sybelle. It's spelled
19 uniquely.

20 Ms. Fitzgerald is manager of generation
21 resource planning for Gulf Power. And welcome.

22 **MS. FITZGERALD:** Thank you.

23 **CHAIRMAN BROWN:** You're welcome.

24 **MS. FITZGERALD:** Good morning, Commissioners.

25 **CHAIRMAN BROWN:** Good morning.

1 **MS. FITZGERALD:** My name is Sybelle
2 Fitzgerald. I'm the generation resource planning
3 manager for Gulf Power, and I'll be going over today's
4 presentation.

5 We're going to start off with an overview, and
6 I'm going to be talking about the load forecast, the
7 factors considered for our next resource need, our need
8 year driver, as well as Gulf's generation energy source
9 mix. Then I'll be moving to our next resource need as
10 is pointed out in our Ten-Year Site Plan, and then what
11 we considered for our site and technology selection.

12 So this slide goes into our retail energy
13 sales. And the story behind this graph is just to show
14 that our energy sales have remained flat, and that's due
15 primarily to our customers using less of our product.
16 You can see that there's a few, you know, bumps in the
17 line there, and that's mainly just due to, you know,
18 your fluctuations in weather and then lower usage by our
19 customers, depending on residential customers or
20 industrial customers.

21 So this slide just simply depicts the Gulf
22 Power service territory footprint in red, just to remind
23 everybody that we're located in Northwest Florida and
24 we're in the SRC -- SERC, SERC.

25 The next slide, we go over our factors

1 considered for our next resource need. And like
2 everybody else that we hear from, we consider technology
3 such as cost and time to construct, cost to operate, and
4 whether the technology is dispatchable. We look at
5 fuel, pipeline infrastructure, and the proximity to
6 that, and the commodity, the type of fuel that will be
7 needed for the technology. We also look closely at
8 transmission, what are the interconnection requirements:
9 Is it going to be to 115 or 230, is that within our
10 site, how far is it from our site, and the system
11 impacts that that type of generation has on the
12 performance of our transmission grid.

13 Site factors, some things that are very
14 important to us is the consideration of the
15 environmental factors: Whether it is wetlands, are we
16 going to have to do any mitigation, is there any
17 endangered species on the site?

18 We also consider the elevation of the site.
19 You know, we're primarily a coastal company, and we like
20 to, you know, look at siting away from, you know, the
21 impacts of hurricanes and those sort of things. We look
22 at any easements that may need to be acquired and the
23 impacts on the public from that, and acquiring new
24 right-of-way. And then lastly performance, of course,
25 the performance of the unit that is chosen or the

1 technology and the value that's provided to the system
2 and the customers, because reliability is one of the
3 most important things to us.

4 Our next slide here talks about our need year
5 driver. So in 2023, we have the expiration of our
6 largest purchased power agreement. That's with Central
7 Alabama. It is for 885 megawatts. So you can see that
8 we fall severely below our target reserve margin, so in
9 2023 we're going to have to look at adding some new
10 capacity.

11 My next slide here talks about our generation
12 energy source mix. And in 2015, 1 percent of our
13 customers -- 1 percent of our customer load was served
14 by renewables. And that was made up of our municipal
15 solid waste facility that's located in Panama City,
16 which is 11 megawatts, that's a purchased power
17 agreement, and also our own Perdido landfill gas unit,
18 which is approximately 3 megawatts.

19 But we're proud to say that we recently signed
20 a new purchased power agreement for our Kingfisher 1
21 facility, which is a wind product, and that increased us
22 to 6.2 percent for renewables.

23 And then looking at 2017, we increase to
24 11 percent, and that's through the addition of a second
25 wind contract which is under consideration by the

1 Commission now. That'll add another 94 megawatts of
2 wind. The first deal is 178 megawatts of nameplate
3 capacity. And then our three large-scale solar military
4 projects that are under a purchased power agreement will
5 be 120 megawatts, and those are scheduled to complete
6 construction next year.

7 So the next slide, I want to discuss our next
8 resource need. Our next resource need is a strong
9 capacity need. We feel that we need a dispatchable
10 resource for that. So, as such, we considered the
11 technologies of the combustion turbine and the combined
12 cycle. Now they both have their pros and cons, such as
13 the CT has a lower installed cost but yet a higher
14 energy cost to operate. A combined cycle is better
15 efficiency but yet a higher installed cost to operate
16 than a CT. The components that we look at are the
17 capital costs, operations and maintenance, and your
18 energy and capacity value.

19 So moving to our site and our technology
20 selection, as I mentioned before, we looked at CCs and a
21 CT across six site locations, and we determined that,
22 per our 2016 Ten-Year Site Plan, that the technology of
23 choice right now is for a combustion turbine, multiple
24 combustion turbines to meet our need, although
25 additional studies are required to finalize the

1 technology. We will be running more studies.

2 And our anticipated sites are our North
3 Escambia site and our Smith Plant site. We might be
4 splitting CTs across those two sites. Preliminary
5 studies show these sites to be economically favorable
6 because they're in close proximity to electrical
7 transmission, gas pipeline, and water supply. But,
8 again, we are doing more studies before we finalize the
9 site selection, but that's how things are looking right
10 now based on our latest studies.

11 So, Commissioners, this concludes my
12 presentation. Do you have any questions for me?

13 **CHAIRMAN BROWN:** Thank you, Ms. Fitzgerald.

14 Yes, I do have some questions. On page 6 of
15 your presentation, you talk about the expiration of the
16 2023 purchased power agreement, and you mentioned
17 something about looking at adding new capacity.

18 Has Duke -- has Gulf, pardon me, contemplated
19 extending that PPA or entering into another PPA or --
20 rather than new generation?

21 **MS. FITZGERALD:** That's a good question. We
22 don't know what the situation for the Central Alabama
23 combined cycle unit will be, you know, at the time that
24 we move forward with an RFP, and we don't know what the
25 pricing will be or, you know, just what the situation

1 will be with that. But, of course, we will evaluate it
2 to see if it'll meet our needs.

3 **CHAIRMAN BROWN:** Thank you. And then on your
4 Gulf generation energy sources, page 7, you mentioned
5 some of the wind projects in 2016 and 2017.

6 **MS. FITZGERALD:** That's right.

7 **CHAIRMAN BROWN:** Taking out the wind projects,
8 what would the percentage of renewables be for 2016 and
9 2017, if you can do that?

10 **MS. FITZGERALD:** Yeah. So the wind project
11 was 8.6 percent. So the remaining of that, the solar is
12 2 percent and the MSW and the landfill gas that we have
13 at our Perdido facility, which is about 3 megawatts.

14 **CHAIRMAN BROWN:** Thank you. Appreciate it.

15 **MS. FITZGERALD:** Sure. We'll have a total of
16 406 megawatts of generation from renewables in 2017.

17 **CHAIRMAN BROWN:** Great. Thank you very much
18 for your information, your presentation.

19 Commissioners, any further questions? Have a
20 great day.

21 **MS. FITZGERALD:** Thank you. Appreciate the
22 opportunity.

23 **CHAIRMAN BROWN:** Thank you.

24 Moving on to Florida Power & Light, and with
25 us today is Dr. Steve Sim, who is the senior manager of

1 resource assessment and planning at FPL. Welcome,
2 Dr. Sim.

3 **DR. SIM:** Good morning.

4 **CHAIRMAN BROWN:** It's been a long time.

5 **DR. SIM:** It has been.

6 Well, Madam Chair and Commissioners, it's good
7 to see you again, and it's a pleasure being here to
8 discuss this subject.

9 Let me start out by saying that we're all
10 aware that the 2016 site plan was filed in April of this
11 year, which is roughly six months ago. And what I'd
12 like to do is take you back 12 months before that and
13 start with where we were with our 2015 Ten-Year Site
14 Plan, summarize that, and then move forward taking a
15 look at some of the key forecasts or assumptions that we
16 used in coming up with the 2016 site plan and show how
17 the two site plans differ. So that's the approach here.

18 All right. This is how I would summarize the
19 2015 site plan. In 2016, we had, in our site plan,
20 showing the completion of modernizations of some of our
21 combined cycle and combustion turbine projects, the Port
22 Everglades modernization, the removal of a bunch of
23 40-plus-year-old gas turbines, and the replacement with
24 some brand new and more efficient combustion turbines.
25 We also showed, for 2016, that we would be taking

1 advantage of three highly advantageous sites and putting
2 in about 224 megawatts of photovoltaics.

3 And then let me ask you to skip down, please,
4 to 2019. The other thing that we showed in our 2015
5 site plan was a significant resource need in 2019 that
6 was projected, and we had in our site plan as a
7 placeholder at the time an Okeechobee combined cycle
8 unit that we were projecting as our best self-build
9 unit. And it was the next planned generating unit in a
10 capacity RFP we had sent out and was the basis of our
11 need determination filing for that unit.

12 And then finally, down in 2023, that was the
13 date or the year in which we had our next significant
14 resource need projected at the time, and as a
15 placeholder we had an unsited combined cycle.

16 Now after April of 2015 when we filed the site
17 plan, we focused largely, in our resource planning work,
18 on our post-2019 resource needs and on the options which
19 could address those needs. And before I leave this
20 slide, let me point out that in all of our resource
21 planning work and certainly what is shown in our annual
22 site plans, we take into account the DSM goals that the
23 Commission has set for FPL. We assume those will be
24 achieved, and we fully account for those in all of our
25 resource planning work.

1 Now in our resource planning work, I'd say
2 there are three primary forecasts or assumptions that
3 tend to drive the outcome of the resource planning
4 analyses, and the first of these is our peak load
5 forecast. Now on this graph, the black line shows what
6 the peak load forecast was in our 2015 site plan. The
7 red line is what the peak load forecast was in our 2016
8 site plan. And as the graph shows, the more current
9 load forecast is considerably lower, especially from
10 about 2020 to on compared to the prior load forecast.
11 And what this means is this tends to reduce and defer
12 our projected resource needs into the future.

13 The second such forecast is our natural gas
14 cost forecast. Again, black line is the 2015 site plan,
15 red line, 2016. It shows that our projected natural gas
16 costs were noticeably lower than what they were in 2015,
17 and this tends to improve the economics of gas-fired
18 resource options when we analyze them versus
19 non-gas-fired options.

20 And the third of these key assumptions or
21 forecasts is our CO2 cost forecast. Once again, black
22 line is 2015, the site plan, red line, 2016. And as
23 we -- as the graph shows, the 2016 numbers are lower in
24 every year in regard to where we were a year before.
25 And what this does is that the lower CO2 projected cost

1 tends to reduce the cost-effectiveness of any non-CO2
2 emitting resource options such as solar, such as DSM,
3 all else being equal.

4 So with those forecasts in mind, the analyses
5 that we conducted from April of 2015 that culminated in
6 the 2016 Ten-Year Site Plan filing was one that focused
7 primarily on combined cycle, combustion turbine, and
8 photovoltaic options. During that time period, the
9 Commission approved the Okeechobee combined cycle as the
10 best option with which to meet our 2019 resource need.
11 And then due to the lower load forecast that we just
12 addressed, our next significant resource need moved back
13 a year from 2023 to 2024. So no decision is needed
14 regarding that resource option until at least
15 three years, probably around 2019, and that's because
16 there's about a five-year time frame in which to
17 complete the regulatory permitting and construction of a
18 combined cycle unit. If we decide to build something
19 other than a combined cycle, the odds are that that
20 decision need can be postponed even further.

21 In regard to the three options, my opinion is
22 there's more certainty regarding the cost and the firm
23 capacity contribution of combined cycle and combustion
24 turbines than there is for PV. But the more we study
25 PV, the more we've become convinced that it is becoming

1 increasingly competitive. And, in fact, over the next
2 ten years, we see combined cycles and photovoltaics as
3 being the competitive options.

4 And, therefore, my last slide ends up with the
5 summary of the 2016 Ten-Year Site Plan. And what I've
6 done is in red I've tried to show what I think are the
7 more significant changes from the 2015 site plan. First
8 of all, on the 2019 row, as mentioned earlier, the
9 Commission approved the Okeechobee combined cycle unit
10 to meet the 2019 need.

11 In 2020, what I'm showing is there is a loss
12 in terms of reserve margin of 382 megawatts of coal
13 capacity from the St. Johns PPA that we have. Now that
14 PPA has an IRS regulation that applies to it that allows
15 us to only take up to a certain point in the amount of
16 megawatts, megawatt hours that we can receive. And in
17 the 2015 site plan, we assumed or were projecting that
18 that limit would be met by second quarter of 2019
19 because of lower gas costs, less coal is being used. So
20 by the time we got to the 2016 site plan, that projected
21 limit had slid from second quarter to fourth quarter of
22 2019.

23 We were seeing projected decreases in solar
24 cost. We were finding certain sites that we thought
25 were advantageous sites for solar and, therefore, in our

1 2016 site plan we show 300 megawatts of additional PV
2 coming in -- in the text, we said by 2021. For planning
3 purposes, we show it here coming in at 2020.

4 And then finally, as mentioned earlier, our
5 next planned generating -- our next planned significant
6 resource need is moved from 2023 back to 2024. And as a
7 placeholder, we've put in an unsited combined cycle
8 there, but no decision has been made for that year.

9 That completes my presentation. I would like
10 to pick up on a point that Stacy made earlier, if I may.
11 She mentioned that in terms of the FRCC region, it would
12 take 1,000 megawatts of nameplate PV in order to supply
13 1 percent of the total energy mix for peninsular Florida
14 through photovoltaics. For FPL, because we're a smaller
15 system, that walking around number is probably about
16 525 megawatts of PV that would move our fuel mix by
17 1 percent. And I think that's useful, both the
18 1,000 for FRCC, the 500-plus for FPL, because it shows
19 that it will take large blocks of photovoltaics in order
20 to move the needle in terms of energy mix for the state.

21 And that's driven by primarily two things.
22 Number one, the size of FPL -- excuse me -- of Florida's
23 utility systems, and the second is that the
24 photovoltaics capacity factor is relatively low in terms
25 of resource options, at about 25 percent is probably a

1 rough average for the various utilities. So on that
2 note, let me try to answer any questions you may have,
3 and thank you.

4 **CHAIRMAN BROWN:** Thank you, Dr. Sim. Thanks
5 for your presentation.

6 Commissioners, any questions? Commissioner
7 Brisé.

8 **COMMISSIONER BRISÉ:** Good morning, Dr. Sim.

9 **DR. SIM:** Good morning.

10 **COMMISSIONER BRISÉ:** Similar question to what
11 I asked Duke. What is your process to evaluate new
12 technologies, and what are some of the new technologies
13 for generation that FPL is looking at?

14 **DR. SIM:** There's one department in FPL, our
15 project development department, that has the lead in
16 examining a number of, let's say, emerging or future
17 resource options. In terms of those, we are looking at
18 with more of a near-term focus. Solar is obviously
19 number one. Not a day goes by but we don't have another
20 solar analysis, it seems, that we wish to run. And as
21 of late, battery storage is getting a lot of attention
22 in our planning efforts.

23 **CHAIRMAN BROWN:** Dr. Sim, I asked, I think it
24 was Duke, a question about what percentage of customers,
25 of FPL's customers, though, are behind the meter. Do

1 you have a number?

2 **DR. SIM:** Yes, Madam Chair. I believe the
3 number as of year end 2015 was roughly 4,250.

4 **CHAIRMAN BROWN:** You're seeing an increase?

5 **DR. SIM:** It is a steady increase, yes.

6 **CHAIRMAN BROWN:** Okay. Thank you. Thanks for
7 your presentation.

8 **DR. SIM:** Thank you.

9 **CHAIRMAN BROWN:** All right. Moving on to
10 Tampa Electric Company. And with us from Tampa Electric
11 is Mr. Jim Rocha, who is the director of resource
12 planning. Mr. Rocha, welcome.

13 **MR. ROCHA:** How are you?

14 **CHAIRMAN BROWN:** How are you?

15 **MR. ROCHA:** Terrific.

16 **CHAIRMAN BROWN:** How are folks down in Tampa?

17 **MR. ROCHA:** We're doing good. We got most of
18 the limbs out of the way. Everybody is returned to
19 service, even my friends who call me and think they can
20 get ahead of the line with folks working 16-hour days,
21 you know.

22 **CHAIRMAN BROWN:** I do. I know that. I do
23 know that.

24 **MR. ROCHA:** I'm really excited about everybody
25 wanting to hear about generation planning because when I

1 give these presentations at work, I tell everybody it's
2 the center of the known universe, and I never understood
3 why nobody agreed with me. So let's see if I can figure
4 out this thing.

5 So starting with the obvious on the first two
6 bullets, but starting out at a very high level, 30,000
7 foot, what are we trying to do? We're trying to compare
8 demand-side and supply-side resources on a consistent
9 and comparable manner so that we get the most
10 cost-effective and reliable system that we can build in
11 the future.

12 On top of that, we then have this reliability
13 analysis that I'll go into a little bit as we go forward
14 where we look at different alternatives, compare them to
15 future forecasts of both fuel and capacity and demand
16 needs, and pick the source, the top sources.

17 So this is my little picture of our flow
18 diagram, and it starts with the demand and energy
19 forecast. And we go out 30 years with that demand and
20 energy forecast, and it includes all existing and future
21 demand and conservation programs that we have. This is
22 used to determine reliability needs in the future and
23 when it would occur and the magnitude of megawatts that
24 would be needed for customers.

25 The first step is, as Ben pointed out, we do

1 look at levelized cost curves. Those are the ones that
2 always end up in the paper because it's a very nice
3 number to compare. They're good for being informative,
4 and I'll show you some of those a little later.

5 The -- then we take the candidate
6 alternatives, and to your point, Commissioner, we go
7 out -- in order to get that consistent basis, you go out
8 in the Google search and you'll see, even on gas
9 turbines you'll see dollars per KW at 59 degrees
10 Fahrenheit and you'll get a lower heating value and a
11 higher heating value on solar. It'll be DC or AC and
12 panel loading factors. So I'm trying to get numbers and
13 operational and cost numbers that will be consistent
14 across all of those when I put them in our expansion
15 plan models.

16 So we hire an engineering firm, a big firm,
17 and they'll include distributed generation like micro
18 turbines and diesel generators, and then renewables,
19 biomass and solar and wind. Also to your point, we're
20 excited. Our new parent company has lots of expertise
21 and title power in Nova Scotia, lots of experience with
22 wind, and we'll be trying to add that expertise to our
23 future look at intermittency and how to incorporate them
24 into a balancing area.

25 So we put all these together and we put them

1 into what I'll describe in the next page of what the
2 software is, but it looks out 30 years for net present
3 value revenue requirements and compares them all in all
4 kinds of -- a gazillion combinations of those.

5 We take the top plans and then put them into
6 our detailed models -- a lot of folks use PROMOD, we use
7 a product called Planning and Risk -- and have detailed
8 dispatch out to 30 years and add all the revenue
9 requirements to it and come up with the most
10 cost-effective plans to include the fuel.

11 And then at the end, all that goes back
12 through to complete the whole cycle of determining our
13 avoided unit and what are the next -- cost-effective
14 demand alternatives to that avoided unit.

15 So here's the levelized cost curve. Again, I
16 have not yet included carbon costs in this picture. We
17 have scenarios that -- we always look at lots of
18 scenarios, as Steve said, Dr. Sim said, that we'll look
19 at all these scenarios with carbon, without carbon. And
20 we've got solar folks coming in all the time. I go to
21 lots of meetings for presentations. We get lots of
22 traditional generation folks coming in all the time. So
23 it works in all directions.

24 And what you see here is essentially a low
25 capacity factor -- it's hard to see on this one because

1 I blow it up for my eyes -- is that a CT at very low
2 capacity factors, then a combined cycle, and then you
3 can see where we have -- with these numbers on where
4 solar and a new -- an IGCC would come out.

5 Our two software products are both by Bentex
6 (phonetic) ABB. It's a system optimizer. Some folks
7 use Strategist. We now use System Optimizer to look at
8 all those combination of things that I've already
9 described, and then we put those top plans into planning
10 and risk.

11 I'm going to come down. So what was the plan
12 we came up with? Well, we've already got the need for
13 our Polk 2 combined cycle. I was pleased to put the
14 picture of that on our Ten-Year Site Plan, and that was
15 nine, ten months ago. So the whole thing is out there.
16 We're doing lots of testing and things are going well.
17 But that's that first number in the summer reserve
18 margin that -- because we added in January. And then as
19 you can see, we grow about 55 megawatts a year in summer
20 demand. And so we add a peaker in '20 and in '23, and
21 kind of lumpy additions gets us above the 20 percent
22 reserve margin. And with that, that's my presentation.

23 **CHAIRMAN BROWN:** Thank you. Nice and
24 succinct.

25 Emera does -- the new parent company does seem

1 to be a proponent of utility scale solar and the
2 transition has already occurred. And I'm curious what
3 Tampa Electric's plans are for deploying more utility
4 scale solar in -- for its territory.

5 **MR. ROCHA:** So, again, we have lots of
6 developers. All of them have been in offices -- I
7 attend lots of meetings. Our corporate plan is to be a
8 sustainable and a greener utility, and -- but there
9 will -- we wanted to do that in a reliable and
10 cost-effective manner.

11 So what I can tell you to this point is we
12 are -- my group is doing lots of analysis all the time
13 on a million scenarios, including our existing fleet,
14 our future fleet, and then trying to judge where those
15 same costs will be. In fact, I'm updating now with our
16 engineering firm all of those numbers, and then trying
17 to get a better handle, like five years from now, ten
18 years from now, how do those numbers change, so I don't
19 just have a static number, what is that cost today.

20 But what I can tell you is, yes, Emera is
21 pushing hard for us to get to the place that you're
22 describing.

23 **CHAIRMAN BROWN:** That's what I figured.

24 And then on the supply side, the residential
25 supply side, what is the percentage of customers?

1 **MR. ROCHA:** Well, what I can remember is
2 there's about -- we had in the rebate program on solar
3 about 300 customers use the rebates. About -- on the
4 solar water heating there was about 250-ish. So overall
5 we probably -- it's, subject to check, around 700.

6 **CHAIRMAN BROWN:** Yeah. Not a lot. Thank you.
7 Commissioners, any further questions?

8 Thank you, Mr. Rocha.

9 **MR. ROCHA:** You bet. Thank you.

10 **CHAIRMAN BROWN:** Safe travels back to Tampa.

11 All right. Moving into the public comment
12 portion, we will be hearing from Sierra Club, Ms. Csank,
13 first. If you'd like to sit there or go up to the
14 podium, it's your pleasure. And welcome back.

15 **MS. CSANK:** Thank you, Madam Chair. Good
16 morning. Actually if you agree, then --

17 **CHAIRMAN BROWN:** SACE go first?

18 **MS. CSANK:** -- I think Ms. Shenstone will go
19 first. Yes.

20 **CHAIRMAN BROWN:** Okay. That's no problem.
21 And welcome, Ms. Shenstone. Yes.

22 **MS. SHENSTONE:** Thank you. Good morning,
23 Commissioners. Thank you for the opportunity to address
24 you today and speak regarding the opportunities that the
25 Southern Alliance for Clean Energy sees in providing

1 additional customer value.

2 SACE is a non-profit, non-partisan clean
3 energy group that advocates for lower-cost, lower-risk
4 resources in meeting electricity demand. That includes
5 moving away from high-risk, high-cost choices such as
6 coal and diversifying the energy mix into resources with
7 vast potential such as capturing more energy efficiency
8 and integrating higher levels of clean, abundant, and
9 low-cost solar power.

10 SACE supports policies and plans that
11 meaningfully increase rooftop solar, larger commercial
12 installations, and utility scale solar. All are part of
13 a healthy solar market.

14 All forms of solar are seeing continuing price
15 drops, with utility scale power purchase agreements now
16 being signed at three to five cents per kilowatt hour.
17 As it relates to utility scale solar, there's a
18 significant and growing opportunity to expand and bring
19 Florida to the forefront of the industry where it
20 belongs.

21 SACE recommends that the Commission encourage
22 more market entry for supply-side solar projects. To
23 that end, we offer several recommendations now and will
24 provide additional details in written comments.

25 We recommend the establishment of a

1 solar-specific Standard Offer Contract, including a
2 contract avoided cost rate for solar qualifying
3 facilities with a capacity of up to 5 megawatts.
4 Florida rules and utility practice effectively excludes
5 small solar projects from realizing the benefits of the
6 Standard Offer Contract available to other small power
7 generators under PURPA. PURPA is meant to increase
8 energy independence in the U.S. by requiring states to
9 establish the prices retail utilities must pay to
10 third-party renewable energy developers, thus giving
11 small developers a market for their power. Yet in
12 practice in Florida, solar qualifying facilities are
13 ineligible for any capacity payment due to the minimum
14 performance standards for the delivery of firm capacity.

15 The system size in the Standard Offer Contract
16 is limited to a mere 100 kilowatts. Developers tell us
17 that there's great interest for projects larger than
18 this limit, and, in fact, it's not unusual for business
19 customers to install larger systems either through a
20 developer or with their own financing; however, these
21 customers may not wish to enter into expensive
22 negotiations with the utility and would desire a
23 streamlined process such as a meaningful Standard Offer
24 Contract would provide.

25 If a solar developer does wish to negotiate a

1 contract for a solar project over 100 kilowatts, such
2 contracts are entirely at the utility's discretion.
3 There's limited legal basis for any party to challenge a
4 utility's decision to refuse a contract even if it's at
5 the same time negotiating a similar contract at a higher
6 price.

7 Moreover, Florida rules do not currently
8 provide for any specific competitive solicitation
9 process for projects less than 75 megawatts. A
10 competitive solicitation process is key to encourage
11 more solar development and ensure that customers are
12 getting the most bang for their buck.

13 Policies like these will help Florida realize
14 more solar potential at the utility scale. FRCC's
15 presentation shows solar expanding in Florida by only
16 1,167 megawatts in the next ten years. By comparison,
17 Georgia Power already has more than half of that amount
18 on its system and by 2021 may add up to 1,900 megawatts
19 more of renewable energy including solar. Florida has
20 greater solar potential than our neighbor to the north,
21 and we ought to ensure that the state's policies do not
22 create unnatural barriers to taking advantage of that
23 potential.

24 Moving on to our concerns about coal-fired
25 power plants, we noticed that the Ten-Year Site Plans

1 assume that nearly all coal-fired power plants will stay
2 online throughout the planning period. This assumption
3 is worth taking another look at, as keeping coal plants
4 online is actually subject to a number of risks.

5 There's good reason to plan for the case that the end of
6 a unit's useful life does occur in the next ten years.
7 Utilities should demonstrate to this Commission and to
8 the public that they have factored these risks in and
9 investigated alternatives.

10 First, as mentioned earlier, coal is becoming
11 a more costly choice. As I'm sure you're aware,
12 coal-fired power plants are being dispatched less
13 frequently as gas is more competitive, which means that
14 the per unit cost of running the coal plants is actually
15 higher and again makes them less competitive. We see
16 this playing out in the case of the two smaller coal
17 plants that FPL has purchased with the intention or
18 expectation of bringing them offline. The specifics are
19 going to be different for other plants, but this is a
20 notable cautionary tale, especially since one of those
21 plants is only 21 years old compared to other Florida
22 plants that are mainly in their 30s, 40s, and 50s.

23 Adding to these costs are regulatory
24 compliance liabilities. We see these regulations as
25 providing much needed public health and environmental

1 protections. And in order to comply with these
2 standards, many plants are going to need expensive
3 upgrades. For example, Gulf's Crist Units 4 and 5 and
4 JEA's Northside units use ones through cooling systems
5 that suck massive amounts of water from the river and
6 return most of it at a higher temperature. Both should
7 anticipate that in the next water permitting cycle,
8 they'll need to make provisions to reduce thermal
9 impacts, likely by adding a cooling tower, which can
10 cost hundreds of millions of dollars. The cooling tower
11 would also help meet modern standards for prevention of
12 fish, fish eggs, and other wildlife being sucked in or
13 trapped in the intake, which is another regulatory
14 obligation.

15 Tampa Electric has already applied for cost
16 recovery of nearly half a million dollars just to study
17 what will be needed to comply with -- at its Big Bend
18 plant with the new effluent limitation guidelines, which
19 will come into play, again, in the next water permitting
20 cycle. With such significant costs just for the
21 studies, one can safely anticipate that the cost of
22 actually converting to dry ash handling and controlling
23 heavy metals in the discharge water will be significant,
24 possibly enough to make retirement a more appealing
25 option.

1 Coal risks are further compounded by the need
2 to comply with the Federal Coal Combustion Residuals
3 Rule or Coal Ash Rule, which is going to be a particular
4 challenge for Florida. By 2018, operators will need to
5 show their ash storage is not compromised by locational
6 factors such as being located in a flood plain, near
7 sinkhole-prone geology, or proximity to aquifers. Many
8 Florida plants may be unable to comply due to Florida's
9 geology and face an expensive alternative of shipping
10 coal ash out of peninsular Florida.

11 And finally, it's worth keeping the Clean
12 Power Plan in mind as another risk that utilities should
13 factor in, and we would hope to see utilities factoring
14 that in as soon as possible, especially as far as there
15 are no regrets options that they can take now that will
16 prevent additional costs from accruing later.

17 By thoroughly investigating all of these risks
18 now and researching alternatives, utilities will avoid
19 piecemeal decision-making that could needlessly expose
20 Floridians to higher priced power while robbing them of
21 the opportunities for cleaner water and the benefits of
22 clean energy resources that are at record low prices.

23 And, again, we'll provide more detail in our
24 written comments, but thank you very much for the
25 opportunity today.

1 **CHAIRMAN BROWN:** Thank you, Ms. Shenstone. I
2 was just going to suggest that you submit some of these
3 written comments.

4 **MS. SHENSTONE:** Absolutely.

5 **CHAIRMAN BROWN:** Thank you.

6 Commissioners, any questions?

7 I appreciate you coming down.

8 **MS. SHENSTONE:** Thank you.

9 **CHAIRMAN BROWN:** Thank you.

10 Ms. Csank.

11 **MS. CSANK:** Madam Chair, if I may just stay
12 right here and provide --

13 **CHAIRMAN BROWN:** You may.

14 **MS. CSANK:** -- address you this way. Great.

15 **CHAIRMAN BROWN:** I hope you got back safely to
16 Washington.

17 **MS. CSANK:** Yes, I did. Thank you.

18 So good morning, Madam Chair, Commissioners.
19 Diana Csank here on behalf of the Sierra Club.

20 As you know, Sierra Club has an abiding
21 interest in resource planning. We appreciate the focus
22 here today on the planning process as well as the
23 options for electric utilities in today's energy market.
24 Due to the rapid changes in the market, robust options
25 analysis is more important than ever. To promote this

1 analysis and ultimately prudent decisions on behalf of
2 customers, we respectfully urge the Commission to
3 continue to take steps to create space in the Ten-Year
4 Site Planning process where utilities, staff,
5 stakeholders, and ultimately the Commissioners, you,
6 yourselves, can have intensive discussions about what's
7 ahead and the best options for protecting customers as
8 we navigate the way forward. Today I'll share a bit of
9 what this could look like, and Sierra Club will also
10 provide more detailed comments following the workshop.

11 So in particular, I'd like to focus on the
12 minimum filing requirement for the utilities to provide
13 in their annual plans, quote, sufficient information to
14 assure the Commission that an adequate and reliable
15 supply of electricity at the lowest cost possible is
16 planned for the state's electric needs.

17 The plans filed by the utilities, however,
18 have not historically provided sufficient information.
19 After the plans are filed, the Commission staff data
20 requests help develop the record over the summer and
21 through the fall. We commend staff. This is very
22 helpful. The FRCC statewide summary also helps. And
23 this year we have the benefit of the utilities'
24 supplemental presentations at this workshop. But as
25 Sierra Club appears before commissions across the

1 country, we see that there is a real value added from
2 the type of exchange that can occur when stakeholders
3 have access to the inputs and more detail about the
4 actual cost-effectiveness screening that the utilities
5 are doing at the planning stage, and this is
6 particularly true with respect to electric utilities
7 because of these complex, long-term projects.

8 You heard today from, for example, Dr. Sim, a
9 new combined cycle plant can take up to five years from
10 inception to get online. And so once a utility is down
11 that road and is on its way through the planning process
12 of selecting a particular resource and comes to you in a
13 docketed manner to seek approval, it's often very
14 difficult or, you know, the -- at that point to
15 meaningfully go back to the drawing board and make sure
16 all the options are properly considered.

17 So, again, we will submit written comments to
18 further identify particular suggestions of what this
19 could look like. Certainly the RFP process, as my
20 colleague from SACE alluded to, is a very important one,
21 and the Bid Rule -- and it provides contours for that
22 and for certain resource selection types of situations.
23 But we submit that that's something that could be used
24 to great effect more broadly.

25 So, again, thank you very much for your

1 attention. I'll reserve the remainder of my time for
2 questions.

3 **CHAIRMAN BROWN:** Thank you, Ms. Csank.

4 Commissioners, any questions?

5 Thank you both for appearing.

6 Opening up this forum to the public, is there
7 anybody from the public that would like to address the
8 Commission on this in this workshop proceeding?

9 (No response.)

10 Seeing none, are there any additional matters
11 that need to be addressed?

12 (No response.)

13 Commissioners, any concluding comments?

14 Staff, any concluding comments?

15 All right. This workshop is adjourned. Thank
16 you all for coming.

17 (Proceeding adjourned at 10:48 a.m.)

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
2 : CERTIFICATE OF REPORTER
3 COUNTY OF LEON)

4 I, LINDA BOLES, CRR, RPR, Official Commission
5 Reporter, do hereby certify that the foregoing
6 proceeding was heard at the time and place herein
7 stated.

8 IT IS FURTHER CERTIFIED that I
9 stenographically reported the said proceedings; that the
10 same has been transcribed under my direct supervision;
11 and that this transcript constitutes a true
12 transcription of my notes of said proceedings.

13 I FURTHER CERTIFY that I am not a relative,
14 employee, attorney or counsel of any of the parties, nor
15 am I a relative or employee of any of the parties'
16 attorney or counsel connected with the action, nor am I
17 financially interested in the action.

18 DATED THIS 22nd day of September, 2016.

19
20
21
22
23
24
25


LINDA BOLES, CRR, RPR
FPSC Official Hearings Reporter
(850) 413-6734