



1 APPEARANCES:

2 PUBLIC SERVICE COMMISSION:

3 BENJAMIN CRAWFORD, PSC STAFF

ADRIA HARPER, PSC STAFF

4 SHELBY EICHLER, PSC STAFF

DALE EASTMOND, PSC STAFF

5 CAYCE HINTON, PSC STAFF

6

UTILITIES:

7

BEN COWART, CITY OF TALLAHASSEE

8

LANG REYNOLDS and PETER KING, DUKE ENERGY FLORIDA

9

10 JILL DVARECKAS, FLORIDA POWER & LIGHT and GULF POWER  
COMPANY

11 TIMOTHY LEIGH, VICKI NICHOLS, DON WUCKER and DAVE MCKEE,  
JEA

12

PETER WESTLAKE and KEVIN NOONAN, OUC

13

KENNETH HERNANDEZ, TAMPA ELECTRIC COMPANY

14

15 ELECTRIC VEHICLE INDUSTRY:

16 NOAH GARCIA, EBO ENTSUAH, CLAIRE ALFORD and LEAH RUBIN  
SHEN, ADVANCED ENERGY ECONOMY

17

18 PHILIP B. JONES, ALLIANCE FOR TRANSPORTATION  
ELECTRIFICATION

19 JUSTIN WILSON, CHARGEPOINT

20 MATT ALFORD, DRIVE ELECTRIC FLORIDA

21 CARINE DUMIT and ADAM MOHABBAT, EV GO

22 JOSHUA COHEN, GREENLOTS

23 PATRICK BEAN, TESLA

24

25

1 APPEARANCES CONTINUED:

2 OTHER STAKEHOLDERS:

3 NATHANIEL SCHOAFF, SIERRA CLUB

4 STAN CROSS and DORY LARSEN, SOUTHERN ALLIANCE FOR CLEAN  
ENERGY

5

PATTY CHRISTENSEN, OFFICE OF PUBLIC COUNSEL

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 PROCEEDINGS

2 MR. CRAWFORD: All right. It's ten o'clock so  
3 I guess we can get started.

4 Good morning. First can we please have the  
5 attorney read the notice? Adria?

6 MS. HARPER: Yes, I am here. Give me just a  
7 second here.

8 MR. CRAWFORD: Thank you.

9 MS. HARPER: Make sure my phone sound is good.  
10 Can you guys hear me okay?

11 MR. STADEN: We can hear you just fine. Go  
12 ahead.

13 MS. HARPER: Great.

14 Pursuant to notice, this time and place a  
15 Commission Staff Workshop for the development of an  
16 electric vehicle, EV, master plan for the EV  
17 charging station infrastructure pursuant to Chapter  
18 2020-20 -- excuse me, Chapter 2020-21 Laws of  
19 Florida.

20 UNIDENTIFIED SPEAKER: Okay. I will make you  
21 some lunch if you want, like, half a sandwich. No  
22 sandwich. Cereal?

23 MR. CRAWFORD: Let me please remind everybody  
24 to please mute your phone, if you have not already  
25 muted your phone, if you are not speaking. We just

1 had somebody who I think was ordering -- right.

2 Thank you, Adria, for the notice.

3 My name is Ben Crawford. I am a Public  
4 Utility Supervisor in the Office of Industry  
5 Development Market Analysis at the Public Service  
6 Commission.

7 Today's workshop is intended to consult with  
8 the stakeholders in the electric vehicle industry  
9 who filed comments concerning the PSC's obligations  
10 from Senate Bill 7018 in response to our September  
11 2nd, 2020, request for comment.

12 Senate Bill 7018 was passed by the Legislature  
13 on March 11th, 2020, and approved by the Governor  
14 on June 9th, 2020. The bill requires the Florida  
15 Department of Transportation, in consultation with  
16 the Florida Public Service Commission and the  
17 Energy Office of the Florida Department of  
18 Agricultural and Consumer Services, coordinate,  
19 develop and recommend a master plan in the  
20 development of electric vehicle charging station  
21 infrastructure along the State Highway System.  
22 This plan is due to the Governor, the President of  
23 the Senate and the Speaker of the House of  
24 Representatives on July 1st, 2021.

25 Senate Bill 7018 assigned numerous duties to

1 the Commission in support of the development of the  
2 master plan. These duties include projecting the  
3 deployment of electric vehicles in Florida over the  
4 next 20 years in determining how to ensure an  
5 adequate supply of charging stations, evaluating  
6 and comparing the types of electric vehicle  
7 charging stations available now and in the future,  
8 and any advantages to developing particular types  
9 or uses of these things.

10 Considering strategies to develop the supply  
11 of charging stations, including partnerships with  
12 other governmental and private stakeholders,  
13 identifying regulatory structures necessary for the  
14 delivery of electricity to charging stations and  
15 reviewing emerging technologies in the electric and  
16 alternative vehicle market, including alternative  
17 vehicle sources.

18 While some of these obligations are in the  
19 process of being met through staff research, others  
20 of these staff sought out comments from  
21 stakeholders in the industry through a request for  
22 comment on September 2nd asking for a response by  
23 October 2nd, 2020.

24 Staff received 15 sets of comments from the  
25 following commenters: City of Tallahassee, Duke

1 Energy Florida, Florida Power & Light and Gulf  
2 Power Company, JEA, OUC, Tampa Electric Company,  
3 Advanced Energy Economy, Alliance for  
4 Transportation Electrification, ChargePoint,  
5 Incorporated, Drive Electric Florida, EVgo,  
6 Greenlots, Tesla, Sierra Club and the Southern  
7 Alliance for Clean Energy.

8 The purpose of today's workshop is to discuss  
9 the comments filed by these stakeholders and  
10 Commission Staff's initial impressions received  
11 from stakeholders. The format will be a roundtable  
12 discussion, with commenters going in the order  
13 listed in the notice, which is the order I just  
14 read. The discussion will be divided into three  
15 sections, each dedicated to one of the broader  
16 questions asked in our initial request for  
17 comments.

18 A little about the format. In order to avoid  
19 people talking over each other, I will be calling  
20 on each participant in order to give everyone an  
21 opportunity to respond. So feel compelled to  
22 respond to every question. If you don't feel like  
23 you have anything meaningful to add to the topic,  
24 you are free to say no response.

25 Also, I said this once and I can't emphasize

1           it enough. Please mute your phone or microphone --  
2           (inaudible) -- speak.

3           Additionally, I would like to add that this  
4           workshop does not address any specific dockets, and  
5           I would ask that all participants please avoid  
6           discussing any open dockets or dockets they  
7           anticipating opening in 180 days.

8           And with that, I would like to move to the  
9           first question.

10          For the first question, the Commission asked  
11          stakeholders to project the increase in the use of  
12          electric vehicles in Florida over the next 20 years  
13          in determining how to ensure an adequate supply of  
14          reliable electric vehicle charging stations to  
15          support and encourage this growth in a manner  
16          supporting a competitive market and consumer  
17          choice.

18          Staff asked stakeholders to provide a 10-year  
19          and 20-year projection for increased EV use in  
20          Florida, including the data source of such  
21          protection, and to provide an estimate of a number  
22          of charging stations that will be needed to meet  
23          the demand presented by these 10 and 20-year  
24          projections.

25          Relatively few comments were able to provide

1 projections over the time period asked. Utilities  
2 all provided projections for their service  
3 territory, but the remaining commenters from the  
4 Sierra Club was capable of providing projections  
5 for the whole state.

6 As a result, staff's thinking on this issue is  
7 to use a variety of sources to provide estimates  
8 and service of the master plan. In addition to the  
9 Sierra Club's estimate, staff was considering the  
10 use of Bloomberg energy new finance's 2020 Electric  
11 Vehicle Outlook. According to the BNEF's forecast,  
12 there will be approximately 1.4 million EVs on the  
13 road in Florida in 2030, and 7.2 million EVs on the  
14 road in Florida in 2040.

15 Staff also intends to incorporate projections  
16 from the Florida Department of Transportation. The  
17 charging station, staff is considering using the  
18 EVI-Pro Lite tool referenced by a few respondents  
19 that can be found on the U.S. Department of  
20 Energy's alternative data fuels data center web  
21 page.

22 What I would like to ask the commenters is  
23 this: Are there any resources or tools that you  
24 feel the Commission is overlooking in order to  
25 project the number of EVs or needed charging

1 stations in Florida over the next 20 years? How  
2 can the staff best use the numbers provided by the  
3 utilities for a whole state estimate?

4 And before you answer, I would like to remind  
5 the participants, this workshop was noticed for two  
6 hours, so please tailor your answers with that in  
7 mind.

8 I also want to emphasize that this is a  
9 question we anticipate the least responses on just  
10 given the nature of the comments we received, so  
11 this is going to partially just be a rung to get  
12 you used to how the format -- (inaudible).

13 But with that in mind, the first to speak is  
14 the first in the notice, I would like to hear from  
15 the City of Tallahassee.

16 MR. COWART: Yes. Thank you. This is Ben  
17 Cowart with the City of Tallahassee.

18 First, I would like to say that the City of  
19 Tallahassee wants to go on record that we are not  
20 in the business of selling automobiles, and  
21 specifically EVs, and we feel that the Public  
22 Service Commission should be addressing these type  
23 of automobiles to the manufacturers. But given  
24 that, we did look at industry standards, and I  
25 think our 1.6 estimate for the state compares

1 favorably to your 1.4, I think that you said, in  
2 the timeframe of 2030. And then, it sounds like  
3 you used the same calculator we did for figuring  
4 the number of chargers needed.

5 And so sum that opening statement up, I think  
6 that the City feels the tools the PSC needs to use  
7 is to query the EV manufacturers and automobile  
8 manufacturers, and then we can accurately base our  
9 projections for charging needs based on what the  
10 manufacturers are projecting.

11 MR. CRAWFORD: All right. Thank you very  
12 much.

13 MR. COWART: And that closes my comments.

14 MR. CRAWFORD: Thank you very much.

15 Duke Energy Florida -- and let me also ask,  
16 when people are finished, can you please just  
17 signal that in some way, say thanks, or that's it,  
18 or something along those lines, we know to move on?  
19 Thank you.

20 Duke Energy Florida.

21 MR. REYNOLDS: Thank you. This is Lang  
22 Reynolds for Duke Energy Florida.

23 I think what you mentioned as far as  
24 combining -- or sourcing a forecast from Bloomberg  
25 Energy Finance, and perhaps other sources, seems

1           like a reasonable approach.

2                   I think the only feedback I would offer on  
3           that right now is it's probably a good idea to get  
4           a few different forecasts. There are a lot of  
5           different resources available for EV forecasting,  
6           and consulting firms, et cetera, that are working  
7           on this. So I think it makes sense to forecast  
8           potentially a range of scenarios, or at least a  
9           small number of scenarios.

10                   And likewise, with the charging station  
11           deployments EVI-Pro Lite is what we did use for our  
12           estimates; but again, there are other -- other  
13           resources out there, so it probably makes sense to  
14           look at a few different scenarios when forecasting  
15           out that far in the future.

16                   Thank you.

17                   MR. CRAWFORD: Thank you.

18                   Florida Power & Light Company and Gulf Power  
19           Company.

20                   MS. DVARECKAS: Yes. Hi. Good morning. This  
21           is Jill Dvareckas from Florida Power & Light  
22           Company.

23                   I would agree with the statements that Duke  
24           Energy just made. I think the only thing I have to  
25           add is that I would encourage -- I would encourage

1 the Commission to ensure that whatever forecast  
2 that is being used, understanding that it is not  
3 static, and that there be some flexibility and  
4 transparency with how this forecast is applied.

5 Finished.

6 MR. CRAWFORD: Thank you.

7 JEA.

8 MR. LEIGH: This is -- (inaudible) -- with  
9 JEA.

10 JEA would just like to say that we agree with  
11 the previous commenters and have nothing else to  
12 add.

13 Thank you.

14 MR. CRAWFORD: Thank you. Okay you8.

15 MR. WESTLAKE: Hi, this is Pete Westlake. Can  
16 you do me a favor and repeat your projection for  
17 2030?

18 MR. CRAWFORD: Yeah. We had 1.4 for 2030.  
19 1.4 million.

20 MR. WESTLAKE: Okay. So we agree with using  
21 the sources that you are using. I would encourage  
22 having a prediction that is -- has two bookends, so  
23 a prediction that has a maximum amount so that you  
24 are looking at if things go fairly strongly or if  
25 things go as they go today.

1 MR. CRAWFORD: Thank you.

2 TECO. I am sorry? TECO.

3 MR. HERNANDEZ: Yes. This is Kenneth  
4 Hernandez with Tampa Electric.

5 We would agree with the comments that you have  
6 heard so far, particularly highlighting the benefit  
7 from a low/medium/high scenario, and the fact that  
8 it is a living forecast. It needs to be updated on  
9 a regular basis.

10 Thank you.

11 MR. CRAWFORD: Thank you.

12 Advanced Energy Economy.

13 MR. GARCIA: Hi. This is Noah Garcia with  
14 AEE.

15 I know in our comments, we reference both the  
16 BNEF scenario you used as well as EEI's forecast  
17 for EV penetration in Florida going forward, and I  
18 think we arrived at very similar numbers, so we  
19 invite the Commission to revisit those estimates if  
20 it finds it useful.

21 And the only thing we would just add to that  
22 is that these projections aren't static, and that  
23 the action that the Commission decides to take can  
24 ultimately influence the number of EVs that we will  
25 expect to find in the state moving forward.

1           So I think we will conclude there. Thank you.

2           MR. CRAWFORD: Thank you.

3           The Alliance for Transportation  
4           Electrification.

5           MR. JONES: Yeah, this is Phil Jones with the  
6           Alliance.

7           I would agree with most commenters, use the  
8           EVI-Pro Lite tool, the assumptions you used between  
9           the different models will be critical, so I agree  
10          with the comments on keeping it dynamic rather than  
11          static using a range like you do in IRP load  
12          forecasts, that would be good.

13          There are a couple of other Wall Street and  
14          other investment houses that offer forecasts, but  
15          they are national, you would have to break them  
16          down for Florida. So you may want to, as Mr.  
17          Reynolds said, look the a couple other sources like  
18          Wood Mackenzie and a couple of the Wall Street  
19          investment houses that have strong research units.

20          I am done. Thanks.

21          MR. CRAWFORD: Thank you.

22          ChargePoint.

23          MR. WILSON: Yes. Thank you.

24          ChargePoint generally agrees with the  
25          direction and the outline. We would support

1 updating this on, perhaps, an annual basis for the  
2 next five years. We believe that we could see a  
3 big percentage -- annual percentage increase in  
4 certain segments such as commercial light duty,  
5 commercial medium duty and commercial heavy duty,  
6 and understanding early in your process the impact  
7 of that -- those segments of vehicle adoption could  
8 be critical for year 2030 and 2040 numbers.

9 Thank you.

10 MR. CRAWFORD: Thank you.

11 Drive Electric Florida.

12 MR. ALFORD: Yes. Good morning.

13 And I just want to first of all say thank you  
14 to the Commission and their staff. We appreciate  
15 you holding this meeting. This is sort of like a  
16 version of Drive Electric Florida's policy  
17 committee almost. And you have got an incredible  
18 group here, and I just hope that all of you learn  
19 as much from them as I have.

20 Two observations about that, right? So FDOT  
21 has examined a few projections, and they are  
22 broadly in line with credible industry projections.  
23 And I just want to echo AEE's comments that  
24 decisions the Commission takes will impact the  
25 forecast. So making sure we've got a regulatory

1 paradigm in place that expands the use of EVs will  
2 be critical.

3 And then the second observation is that it  
4 won't be enough just to look at vehicle  
5 registrations in Florida in normal times, in good  
6 times. We are also going to need to account for  
7 Florida's hundred million plus visitors, and we are  
8 going to need to be able to get them here for  
9 markets that might have higher market penetration  
10 for EVs.

11 So those are kind of the only two thoughts I  
12 have surrounding this question.

13 MR. CRAWFORD: Thank you.

14 EVgo.

15 MS. DUMIT: Hi. Good morning. This is Carine  
16 Dumit. I think my colleague is also on the line,  
17 Adam.

18 I don't know that I have much more to add. I  
19 think I echo the comments made earlier by AEE in  
20 terms of, I think, being dynamic, and then the  
21 decisions from this discussion and this --  
22 (inaudible) -- and the PSC's decision will  
23 ultimately have an impact for sure on the  
24 deployment.

25 So nothing further to add -- (inaudible) --

1 MR. CRAWFORD: Thank you.

2 Greenlots.

3 MR. COHEN: Hi. Good morning. This is Josh  
4 Cohen with Greenlots. And I would generally echo  
5 some of the previous comments that -- that all of  
6 these projections need to be considered as living  
7 documents, because just from the policy and  
8 regulatory standpoint, as well as in terms of the  
9 technical product development standpoint, there is  
10 so many variables that, in turn, will affect future  
11 projection. But at a high level, I think from  
12 Greenlots' perspective, even some of the rosier  
13 projections we've seen, even from credible industry  
14 sources, we believe those may be coming out too  
15 low, particularly when you consider the  
16 improvements in battery technology, the decline in  
17 cost, and the fact that pretty much everyone in the  
18 industry believes we are going to hit an inflection  
19 point sometime in the middle of this decade, where  
20 when cost parity comes in, you are just going to  
21 see a hockey stick level of growth in the EV  
22 industry broadly, as well as in some specific  
23 segments that Justin mentioned from ChargePoint.

24 So that's just our one caution, which is  
25 prepare for all these estimates actually being too

1 low, and what those implications mean, not only for  
2 infrastructure deployment, but also for load on the  
3 grid.

4 Thank you.

5 MR. CRAWFORD: Thank you.

6 Tesla, please.

7 MR. BEAN: Good morning. This is Patrick Bean  
8 from Tesla.

9 I agree with the previous comments about using  
10 the aforementioned reports as kind of the best  
11 available information we have at this time in  
12 living documents.

13 As an OEM, our perspective, as Tesla, we would  
14 like all electric vehicle sales to be electric --  
15 or I am sorry, all vehicle sales in the future to  
16 be electric, so perhaps we are a little bit biased  
17 on that.

18 And then in terms of infrastructure, it might  
19 be worth looking at the International Clean  
20 Council -- I am sorry, International Council on  
21 Clean Transportation and some of the research  
22 they've done to try to quantify electric vehicle  
23 charging gaps.

24 Thank you.

25 MR. CRAWFORD: Thank you.

1 Sierra Club.

2 MR. SHOAFF: Yeah, this is that Nathaniel  
3 Shoaff from Sierra Club. I will make two quick  
4 points.

5 One is one of the reasons that in our comments  
6 we advocated the Commission use the NEF's forecast  
7 for EV growth is that it is updated annually. So  
8 as others have noted, this is not going to be --  
9 the projections are not going to be static. They  
10 are going to change as the Commission and the State  
11 implements various policies that will respond to  
12 any federal incentives that are in place for EV  
13 purchases.

14 And then the other point I would like to make  
15 is that using the EV-Pro Lite tool, which Sierra  
16 Club and others on this call have recommended that  
17 the Commission use for moving from projections for  
18 EV growth to the necessary amount of charging  
19 infrastructure to support that growth, is that  
20 although the Commission's specific task from SB  
21 7018 is to focus on state highways, that Pro Lite  
22 tool, one of the reasons it's so helpful is that it  
23 doesn't just identify an amount of DC fast charging  
24 that's necessary, but it also quantifies the amount  
25 of public Level 2 -- and workplace Level 2

1 chargers, which is where currently there is a big  
2 gap in Florida. And so we hope that the Commission  
3 will take this opportunity to also recommend  
4 strategies to bolster that broader charging  
5 infrastructure beyond just the State Highway  
6 System.

7 Thank you very much.

8 MR. CRAWFORD: Thank you.

9 And the Southern Alliance for Clean Energy.

10 MR. CROSS: Hello. This is Stan Cross from  
11 SACE. And I just want to agree with what's been  
12 stated so far.

13 The only additional comments I would make is  
14 when it comes to forecasting EV registrations in  
15 Florida, I think the point that, you know, both  
16 ChargePoint and Greenlots have made a really  
17 important in that, you know, medium/heavy duty  
18 sector is likely to grow over this next decade, and  
19 it would be good to prepare for a hockey stick  
20 trigger of growth mid-decade should that occur, and  
21 have done the planning to account for that.

22 The other thing that, you know, Drive Electric  
23 Florida noted with paying attention to tourists, I  
24 think also, you know, doing the best we can to pay  
25 attention to snowbirds, winter resident counts as

1 more of the vehicles they bring in the state may  
2 not be registered in the state are electric.

3 And lastly, when using the EV-Pro Lite tool,  
4 as we noted in our comments, the variables that are  
5 able to be manipulated in that tool can really  
6 change the output of that tool. I think it's  
7 important to pay attention to the spread between  
8 pure battery electric vehicles and plug-in hybrid  
9 electric vehicles both in the forecast and also how  
10 that gets implemented into the EV-Pro Lite tool.  
11 Currently, battery electric vehicles are pulling  
12 ahead of hybrid vehicles. And if that continues to  
13 happen, then that will trigger the need for more  
14 chargers. And also paying attention to the number  
15 of residents that have access to home charging, and  
16 making sure that we are accounting for the growing  
17 population in multi-unit dwellings and multi-family  
18 housing, as well as renters who may not have access  
19 to home charging, changing that variable will also  
20 impact how much fast charging Level 2 and workplace  
21 charging is needed to support the market.

22 Thank you.

23 MR. CRAWFORD: All right. Thank you,  
24 everyone.

25 Now unless anyone who hasn't spoken yet has

1 something we would like to add, we can move on to  
2 the next set of questions.

3 All right. Let's move on to the next topic of  
4 discussion.

5 The next of the duties we are discussing today  
6 assigned to the Commission Senate Bill 7018 is the  
7 following:

8 Considering strategies develop the supply of  
9 charging stations including, but not limited to,  
10 methods of building partnerships with local  
11 governments, other state and federal entities,  
12 electric utilities, the business community and the  
13 public in support of electric vehicle charging  
14 stations.

15 We received some very good responses from our  
16 participants, and asking questions on this topic  
17 will be Shelby Eichler.

18 Shelby.

19 MS. EICHLER: Hello. Thank you, Ben.

20 Can you hear me?

21 MR. CRAWFORD: Yeah, we can hear you fine,  
22 Shelby. Thanks.

23 MS. EICHLER: Okay. Great.

24 So for Section 2 of the responses, I am going  
25 to read through a few ideas that we wanted to

1 highlight, and then I am going to ask a couple of  
2 questions, and then we have two subsections in the  
3 second question, so I am going to break those up  
4 and then I will read a couple more ideas, and then  
5 I had a couple of questions on those as well. And  
6 again, I will go down through the list once I get  
7 through the question part, and we will go  
8 participant by participant. And if you don't have  
9 a response, that's okay, just pass.

10 All right. So a popular utility and  
11 third-party option suggested in the data request  
12 responses was a make-ready investment. This would  
13 be where a utility provides the infrastructure,  
14 primarily conduit and wiring, for EV charging  
15 station leading up to the sub where the nonutility  
16 EV service provider would be located and operating.  
17 The resulting -- (inaudible) -- could actually be  
18 owned or installed by any third-party host, and  
19 subsequently be maintained by the nonutility EV  
20 service provider or the site host.

21 Another possible option involves the utility  
22 entering a leasing agreement with a nonutility EV  
23 service provider and providing a flat subscription  
24 service for the customer. In this example, the  
25 utility would own the asset until the end of its

1           useful life.

2                   Similar joint ventures are also possible  
3           either with cities, counties or non -- other  
4           non-government organizations for providing charging  
5           infrastructure.

6                   Next we have kind of a rebate model.  
7           Utilities can issue rebates to third parties to  
8           help with initial cost of installing charging --  
9           chargers. Those costs could be capitalized and put  
10          in rate base, as is being done in Michigan and  
11          Minnesota. The utility can also issue request for  
12          proposals for turnkey services from third-party  
13          providers, or make bulk purchases under an  
14          own-and-operate model for a utility.

15                  Another option includes state contracts that  
16          can be negotiated with multiple charging station  
17          vendors, which would be a cost-effective approach  
18          possibly. This would also allow for less time  
19          expended by all the utilities and municipalities  
20          and push release cost solutions.

21                  Finally, in the process of developing  
22          streamline charging stations, there is also an  
23          opportunity for billing partnerships between state  
24          and local governments and charging stations.  
25          Streamlining EV charging station permitting is

1 important for ensuring the infrastructure  
2 development needed to support EV deployment in a  
3 cost-effective and timely manner that keeps pace  
4 with driver needs.

5 So that's the five, kind of, topics for the  
6 first section of the second part of today's  
7 workshop that I am going to be going over, and then  
8 I have five questions that I would like to ask.

9 The first one -- the first question is: Are  
10 there any concerns on the similarity or  
11 streamlining of EV chargers for customers, or is  
12 there a consensus and acceptance around increased  
13 deployment bringing variability to EV charging  
14 station equipment?

15 And then we will start with the City of  
16 Tallahassee.

17 MR. COWART: Could you repeat the question  
18 that you are -- that you just said, please?

19 MS. EICHLER: Yes.

20 Are there any concerns on the similarity or  
21 streamlining of EV chargers for the customers, or  
22 is there a consensus and acceptance around the fact  
23 that increased deployment will bring variability to  
24 EV charging station equipment?

25 MR. COWART: So again, this is Ben Cowart,

1 City of Tallahassee.

2 Tallahassee believes that, as most industry  
3 experts point to, that the majority of EV charging  
4 on the residential customer level will take place  
5 at their home, you know, after peak, or during the  
6 nighttime.

7 We see the deployment of public access  
8 charging stations in a couple of different lights.  
9 One is economic development. If we have available  
10 charging, makes Tallahassee maybe a more desirable  
11 tourist stop for those visiting for whatever event,  
12 they know that they can charge here. And then for  
13 those resident drivers that need an occasional  
14 charge while they are out, we will capture that  
15 market too.

16 And with that, we've embraced the EV charging  
17 public access and started a program called Power  
18 TLH, Charge at the Star, where we are actually  
19 installing public access stations around our  
20 service territory that include Level 2 -- some  
21 combination of Level 2 and DC fast charge. And  
22 then those will be done along what may be  
23 evacuation routes to I-10, or located close to I-10  
24 so travelers can drop off, charge and then proceed  
25 on their destination.

1           We don't see a real conflict between what the  
2           residential customer may be doing behind their  
3           meter with their EV versus what may take place with  
4           EV charging in the public arena.

5           And that ends my comments.

6           MS. EICHLER: Okay. Thank you.

7           Duke Energy.

8           MR. REYNOLDS: This is Lang Reynolds for Duke  
9           Energy again.

10           A little bit -- I guess I am a little bit  
11           unclear what you are asking about. It sounds like  
12           you are asking about interoperability of charging  
13           stations, and there is several levels of that from  
14           the kind of the back end networking piece of it to  
15           the plugs and charger hardware that's actually  
16           plugged into the car and then the customer facing  
17           the point of sale and networks and the different  
18           networks that are out there.

19           So I guess in terms of concerns with  
20           similarity or streamlining it, I think in terms of  
21           the standards on a Level 2 side of things, we've  
22           seen a convergence around the J1772 standards that  
23           all cars can use. On the DC fast side of things,  
24           there is still multiple charging plugs that are out  
25           there. It would be nice if the automotive industry

1           could -- could converge on one standard.

2           But I think that, from our standpoint, and  
3           thinking about utility programs and other programs  
4           that the Commission could have purview over, or  
5           make recommendations on as part of this proceeding,  
6           I think the most important piece of this is  
7           interoperability on the -- between the networks and  
8           the hardware, to ensure that hardware that's  
9           deployed under utility programs, and other programs  
10          funded by government grants or other grant  
11          programs, do not become stranded assets, so that  
12          they can be communicated with on multiple networks,  
13          and so that we don't see deployments that -- that  
14          become stranded assets, as some have over the past  
15          few years across the country.

16          So I think that's -- that's how we would  
17          address that question. Thank you.

18          MS. EICHLER: Thank you.

19          Florida Power & Light.

20          MS. DVARECKAS: Yes. Hi. This is Jill  
21          Dvareckas from Florida Power & Light again.

22          I would just like to clarify whether that was  
23          the right interpretation of the question, is  
24          interoperability what you are looking at for  
25          charging type?

1 MS. EICHLER: When -- I am talking about  
2 concerns for the customer on similarity of  
3 streamlining. Do -- as the market grows, is it a  
4 general consensus, and is -- do we think it's okay  
5 that we are going to see all these charging  
6 stations pop up, and they made everyone look  
7 different from the next one; or is there a concern  
8 for -- to make EV customers, charging customers,  
9 feel more comfortable, should we streamline the way  
10 they look and the way they operate so that we  
11 increase comfortability for the EV charging  
12 customer when -- so that when they are driving  
13 across the state of Florida, they don't avoid  
14 certain stations because they are not familiar, or  
15 they have never seen one that looks like that  
16 before, that type of thing.

17 MS. DVARECKAS: Great. Thank you for that  
18 clarification.

19 So I would echo, then -- I would echo, then,  
20 Duke's response that, you know, I do believe that  
21 the interoperability between networking hardware,  
22 you know, is important. It's also important that  
23 there not be stranded assets.

24 When it comes to the customer's experience, I  
25 think that this is where it's important that

1 network service providers be able, you know, as  
2 well as utilities, where they are owning and  
3 operating infrastructure, be able to ensure that  
4 the customers do have a consistent and simple,  
5 clear process.

6 I think that what we are seeing in the market  
7 is various networks that offer that to a customer  
8 base that may be specifically loyal to that  
9 charging network service provider. However, you  
10 are also seeing roaming agreements start to pop up  
11 within the market that enable a customer that would  
12 typically use one service provider to use another  
13 station while also maintaining the same experience,  
14 same app, same access and same rate.

15 I think that at this early stage in the  
16 market, it's important to allow the market to  
17 dictate what is appropriate. So I think, really,  
18 at this point, it's important to allow various  
19 business models to be -- to be explored. And I  
20 think too much upfront streamlining may limit  
21 competition in market growth and innovation.

22 Thank you.

23 MS. EICHLER: All right. Thank you.

24 Next we have Gulf Power Company.

25 MS. DVARECKAS: Yes, and this is Jill

1 Dvareckas. I am speaking on behalf, sorry, of FPL  
2 and Gulf Power Company.

3 MS. EICHLER: I am sorry. I was thinking that  
4 might be the case.

5 Okay. JEA.

6 MR. LEIGH: Yeah. This is Tim Lee with JEA.  
7 And just would echo Duke and FPL/Gulf's comments  
8 that, you know, this will be a national super  
9 regional evolution of a market, and given our early  
10 stage in the growth of this market, we need to  
11 allow third parties the creativity to really look  
12 at marketing packages and as well as charger types  
13 and optionality associated with it, with the  
14 emphasis on interoperability, particularly with  
15 data exchange.

16 I think there is some basic issues that need  
17 to be considered. Namely like hygienic of a  
18 station. Is it clean? Is it attractive? Maybe  
19 common signage across the state. The performance  
20 is kind of the bottom line that the consumer is  
21 looking for, and then also safety. And perhaps,  
22 you know, something as simple as including a camera  
23 in some of the charging stations could be a  
24 concept. But definitely need to allow the market  
25 to evolve, both within Florida and beyond Florida.

1 Thank you.

2 MS. EICHLER: Thank you.

3 OUC.

4 MR. WESTLAKE: Yes, OUC believes that the  
5 consistency is required, particularly in the high  
6 speed charging hubs. I should not have to decide  
7 which -- which hub I go to based on vehicle type  
8 and charging type. That should be ubiquitous.

9 Billing approach should also be consistent  
10 across all versions. So I should be able to go to  
11 a site and not have to download an app before  
12 charging.

13 If you look at it in view of what I do -- what  
14 I might do if I were driving a ICE vehicle, I don't  
15 think about the gas that I am going to consume  
16 there. I can get gas at any station. It's just  
17 based on preference on -- on the type of fuel  
18 station.

19 So we need to get to that level, so when we  
20 are deploying a very expensive high speed charging  
21 network across Florida, we should put those  
22 considerations in mind. So either the station has  
23 to be able to handle all vehicle types, or we need  
24 to go to an -- ideally go to a consistent charging  
25 type.

1 Thank you.

2 MS. EICHLER: All right. Thank you.

3 Tampa Electric Company.

4 MR. HERNANDEZ: Yes. Hello, this is Kenneth  
5 Hernandez with Tampa Electric.

6 I think we would echo what we heard from both  
7 Duke and FPL, particularly with respect to  
8 interoperability, and really the support that  
9 network and hardware providers in the market can  
10 lend towards the customer experience in terms of  
11 consistency and their use.

12 Thank you.

13 MS. ELCHLER: Thank you.

14 Advanced Energy Economy.

15 MR. GARCIA: Yes. Thank you. This is Noah  
16 Garcia again.

17 I think, again, we generally agree with the  
18 comments raised by FPL and Duke, again, with regard  
19 to interoperability.

20 With respect to the hardware, there is  
21 certainly already industry convergence around plug  
22 standards that don't necessarily require, you know,  
23 Commission consideration or contemplation, but  
24 certainly on the network side, we are really  
25 interested in making sure that these stations don't

1           become stranded assets, and that they are capable  
2           of sharing information -- charging information,  
3           other -- other sorts of data with the Commission as  
4           it deems necessary to better understand the EV  
5           charging services market.

6                     We also know that given the diversity of  
7           potential charging station locations, it's okay if  
8           these charging stations look different. A public  
9           fast charging station along a highway corridor may  
10          inevitably look different than charging that's  
11          meant to support multi-unit dwellings. So we ask  
12          that the Commission not try to narrowly focus on  
13          streamlining all charging infrastructure to look  
14          the same, but rather taking note of where this  
15          charging infrastructure is being deployed, and how  
16          it should best be positioned to become used and  
17          useful for customer.

18                    Thank you.

19                    MS. EICHLER: Thank you.

20                    Alliance for Transportation Electrification.

21                    MR. JONES: Yeah. This is jim Jones with ATE  
22                    again.

23                    I would generally agree with the comments of  
24           Duke and FPL. There is nothing wrong with having  
25           different types of equipment deployed in the

1 marketplace, hardware and software, but I would  
2 urge the Commission to keep interoperability in  
3 mind.

4 Just look at two examples, the wireless  
5 telecom industry and the banking industry. Think  
6 of the ATMs. And think of roaming agreements among  
7 wireless carriers. There was a whole set of  
8 protocols and agreements that had to be agreed to  
9 to accommodate easy access of the consumer to  
10 different types of hardware and software.

11 So we are a big supporter of protocols like  
12 OCPP, Open Charge Point Protocol, on the back end.  
13 This is network to charging station. But the  
14 Commission should require independent certification  
15 of that. Some of the vendors in the marketplace  
16 say they are OCPP compliant, but they are not  
17 necessarily OCPP compliant.

18 Then on the front end, it's a good thing  
19 CHAdEMO, the Japanese standard, in our view, is  
20 going away. Nissan is going to discontinue that  
21 plug. In the future, I don't know what that means  
22 for existing equipment in Florida and around the  
23 country, but the OEMs appear to be, other than  
24 Tesla, appear to be solidifying around what we call  
25 the universal plug, the J1772 plug. And as we get

1 to a higher charging level, the truck manufacturers  
2 are going to need new connector for higher voltage  
3 charging, but that's centered on what is called the  
4 J1772, or CCS combo plug. So we think that's good.

5 If you are talking about public accessibility  
6 of charging stations, that's another matter that  
7 you may want to have another question about. One  
8 of the reasons that utilities need to be involved  
9 in this, and the Commission, is the utilities will  
10 be providing the fuel, the kilowatt hours and the  
11 rate design schemes, and they need the data to have  
12 to optimize benefits to do rates for managed  
13 charging as penetration increases.

14 That's it. Thank you.

15 MS. EICHLER: Thank you.

16 ChargePoint.

17 MR. WILSON: Thank you.

18 I think ChargePoint would broadly echo the  
19 comments of FPL and Duke, making sure that we allow  
20 charging hardware and network providers and site  
21 hosts the ability to continually innovate at this  
22 early stage in the market. I think we need to keep  
23 prominent the role of the site host and hosting  
24 charging stations in the various business models  
25 that site hosts my might have; everything from a

1 restaurant, to a traditional fueling center, to a  
2 public library, all of those have kind of different  
3 core businesses that we need to maintain the  
4 flexibility for those businesses to meet their core  
5 consumers, whether that be somebody going to check  
6 out a book or do research in the library, or  
7 somebody needing to fuel their vehicle on a  
8 cross-county or cross-state trip.

9 You know, I would think -- I would urge some  
10 caution against applying a gas station model to EV  
11 charging. I think we are new enough into electric  
12 vehicle charging, but have enough data to suggest  
13 that that might not be completely applicable. We  
14 think people are largely going to seek to charge  
15 their vehicles where they are sat idle for a number  
16 of hours, so that's a lot of Level 2 charging, a  
17 lot of home charging. And so making sure that we  
18 not just take old fueling models and apply them to  
19 new and rapidly changing technology.

20 On the issue of -- I don't recall the  
21 commenter's name, but I do believe that somebody  
22 mentioned, you know, we need to take into  
23 consideration and standards that we look at kind,  
24 have a regional application. And I would -- from a  
25 hardware and software manufacturer's perspective, I

1           would broaden that out greatly. I think there is  
2           local issues, there is state issues, there is  
3           regional, there is national and there is  
4           international.

5           As hardware and software providers, we really  
6           do try and have one product that's applicable  
7           across as many different jurisdictions as possible.  
8           So I would caution against setting any standards  
9           that would be applicable only to Florida, and might  
10          be out of line with where other states currently  
11          are. That creates a burden on those providing  
12          services.

13          And then for any standards that the Commission  
14          looks at, I would encourage a very robust process.  
15          These are highly technical issues that have big  
16          implications on private sector industry, and  
17          understanding the pros, the cons, the challenges,  
18          the timelines is critical as the Commission  
19          considers those things.

20          So all in all, I think just back to the early  
21          comment, at this early stage in the market, ensure  
22          that we can continue to innovate and meet the needs  
23          of the customers.

24                    Thank you.

25                    MS. EICHLER: Thank you.

1 Drive Electric Florida.

2 MR. ALFORD: Matt Alford, Drive Electric  
3 Florida.

4 Not much to add to all of that. I think that  
5 there has been some really great feedback and input  
6 here, particularly from Justin at ChargePoint,  
7 right? It's okay that these aren't going to all  
8 work the same, right? And that will -- that will  
9 only kind of proliferate as you have different end  
10 use cases and deployment there. You know, you will  
11 have workplace charging, dwelling, fleet, right?  
12 So all of that is going to look different for  
13 different market segments, so that's okay.

14 And, you know, yes, I would -- I would caution  
15 the Commission not to try and pigeonhole, you know,  
16 sort of the existing paradigm of going to the gas  
17 station and applying that to EVSE charging. I  
18 think those are two fundamentally different types  
19 of fueling.

20 So with that, I will close.

21 MS. EICHLER: All right. And we are at EVgo  
22 now, I think.

23 MS. DUMIT: This is Carine again. I am sorry  
24 for the background noise.

25 Yeah, I think I would echo what Florida -- FPL

1 Duke, Drive Electric Florida and ChargePoint just  
2 mentioned. I will highlight a couple of things.

3 This certainly is a competitive space, and it  
4 is a space that is bringing in all this innovation.  
5 So at this stage, I think encouraging flexibility  
6 is important, and perhaps even going on some  
7 lessons learned from how the success of, or even  
8 the challenges other states have faced. I think  
9 that there is a lot of excellent information that  
10 could be brought forward in this proceeding that  
11 could even help further.

12 I think that it's important to maintain the  
13 flexibility of things -- it's a dynamic space. And  
14 I think -- I am forgetting who mentioned this, but  
15 I wanted to also echo the fact that charging, and  
16 particularly DC fast charging is a -- is a  
17 different model than the gas station model in the  
18 sense that it's not just a -- working from EVgo's  
19 perspective, we don't see charging as just a  
20 technology that is on highway corridors, but it's  
21 also important to make sure that there is that  
22 connection of the different types of business  
23 models, and then you see charging integrated into  
24 everyday activities. So accounting for that, and  
25 making sure that isn't sort of overseen is going to

1 be important.

2 So just -- (inaudible) -- that type of --  
3 (inaudible) -- and technology the best model and  
4 allow for some flexibility -- (inaudible) -- thank  
5 you.

6 MS. EICHLER: Thank you.

7 Greenlots.

8 MR. COHEN: Hi. This is Josh with Greenlots.

9 And I appreciate the question, because I think  
10 there is a lot of agreement within the industry  
11 that the customer experience is really critical,  
12 particularly at this early stage of EV adoption.  
13 And from Greenlots' perspective, what that means is  
14 the driver, when they pull up to a public charging  
15 station, they should have a very consistent  
16 experience in terms of the process to validate with  
17 the network, in terms of what they expect, in terms  
18 of the pricing. We want to avoid any move to  
19 private in terms of the pricing, and -- and  
20 regardless of whether it's a highway corridor fast  
21 charger, or it could be a fast charger at a  
22 shopping center, it could even be a Level 2 station  
23 serving the public, the -- we want drivers to be  
24 able to pull up to these stations, if they are  
25 branded in a consistent way, and have this

1 consistent experience.

2 That's really where we see utilities as being  
3 uniquely well positioned to provide that  
4 experience, that consistency. Not saying utilities  
5 are the only ones who can provide that experience.  
6 I think if you look at some of the priority  
7 owner/operators, they really try and provide a  
8 consistent experience from state to state for their  
9 customers.

10 And I think, particularly in the context of a  
11 commission proceeding, particularly that is  
12 considering public charging, perhaps, in a variety  
13 of new spaces, utilities are really well positioned  
14 to provide that experience for several reasons.  
15 One is they have the sophistication and the  
16 technical knowhow often a lot more than an average  
17 site host, for instance, about the hardware, about  
18 the network capabilities, about these  
19 interoperability questions that we are talking  
20 about, they have the sophistication to manage the  
21 impact on the back end on the grid, and they also  
22 have the potential through the value of the  
23 wholesale level procurement to really provide bulk  
24 purchase, apply downward pressure on those  
25 purchases, and provide a consistent experience at

1 scale within their service territory.

2 So I think the question is right on. It is a  
3 legitimate issue, and again, we see -- we encourage  
4 the Commission to leverage the utilities to help  
5 with that.

6 Thanks.

7 MS. EICHLER: Thank you.

8 Tesla is next.

9 MR. BEAN: Thank you.

10 I think it's important to parse out the  
11 conversations and try to simplify it. So one, we  
12 shouldn't be too prescriptive in terms of  
13 standards, or what we think the customer experience  
14 should be. We should really be taking notes of  
15 what customers want and trying to innovate from  
16 there.

17 And in terms of kind of parsing it out, what  
18 could really benefit are streamlining, permitting  
19 and the actual interconnection, or getting power to  
20 a parking space? Just thinking of it in that  
21 regard.

22 Utilities have -- have a lot of experience,  
23 and are very good at deploying electrical  
24 infrastructure to connect service. And that's been  
25 a model that's worked for -- for decades. We

1           should continue to try to stream like that process  
2           so that charging infrastructure can grow and meet  
3           growing customer needs, and doing is in a  
4           non-discriminatory fashion, so regardless of what  
5           type of charging station or customer would be  
6           deployed at that location, everyone gets a fair  
7           shake of getting power there.

8                     The other way to think about the conversation  
9           is the competitive marketplace versus charging  
10          stations that may be funded via ratepayer funds or  
11          state funds.

12                    From Tesla's perspective, we should avoid any  
13          prescriptive requirements and let -- basically  
14          let -- let whoever is investing in the charging  
15          infrastructure decide the type of equipment and  
16          customer experience that they want to provide.  
17          That means if it's, we as Tesla, you know, we -- we  
18          don't have things like credit card readers on our  
19          charging stations because we don't feel like we  
20          need it because the customer can input their credit  
21          card information within the car, and that is the  
22          way to save costs on -- on the site side. But if a  
23          utility or state wants to fund charging stations,  
24          you know, they can adopt different standards to  
25          best fit the needs of what they are trying to

1 provide.

2 So I would say is try to think through it as  
3 kind of streamlining the permitting electrical  
4 service request, and then thinking out pathways for  
5 ratepayer and state funded charging equipment, and  
6 letting innovation continue in the competitive  
7 marketplace, and whoever is investing in  
8 infrastructure decide what -- what equipment and  
9 strategies they would employ to best fit the needs  
10 of their business model.

11 Thank you.

12 MS. EICHLER: Thank you.

13 Sierra Club.

14 MR. SHOAFF: Yes. Thank you. This is  
15 Nathaniel Shoaff for Sierra Club.

16 I agree with the comment from Tesla just now  
17 about making the distinction between the user  
18 experience where you have, say, a Tesla charging  
19 network versus something that's funded by utility  
20 customer dollars. And so in terms of the user  
21 experience, I think visually, Sierra Club doesn't  
22 really have a preference for what these look like.  
23 I think the more important piece from the user  
24 experience is that they -- that drivers have access  
25 to the charging station.

1           And so in thinking about that user experience,  
2           the concept of having open access is critical where  
3           there are utility customer dollars involved so that  
4           at least where those customers are partially or  
5           fully funding the charging infrastructure, Sierra  
6           Club's view is that the Commission should ensure  
7           that open access exists there, basically, so that  
8           you could use a credit card at any of these  
9           stations, and that membership to any certain  
10          network wouldn't be required for access, at least  
11          where that access is funded by utility dollars.

12           Thank you.

13           MS. EICHLER: Thank you.

14           SACE.

15           MR. CROSS: Thank you. This is Stan from  
16          SACE.

17           I agree with comments that have been made.  
18          The only things I would add is regarding using the  
19          gas station model, thinking about that in another  
20          way. You know, gas stations are a placed where  
21          they are placed because they are highly explosive  
22          and they are environmentally degrading, so they are  
23          typically pushed away from town out towards the  
24          highways. And though we recognize fast charging  
25          needs to be happening along highway corridors as

1 well, there is an opportunity for EV charging  
2 stations to bring business into Florida's  
3 commercial downtown districts, and therefore,  
4 making sure there is flexibility so that, from the  
5 site host perspective, if it's a local community,  
6 that their brand and field can be put onto that  
7 charging structure so that it matches kind of the  
8 economic development efforts that that downtown  
9 commercial district may be engaged in.

10 As far as thinking about ratepayer and  
11 taxpayer funded charging systems, and thinking  
12 about standards across them, you know, one, you  
13 know, significant, you know, user experience issue  
14 is the uptime of charging stations, and being able  
15 to rely as a driver, which I am, of an electric  
16 vehicle that the charging sedation is going to be  
17 available when you get there. So making sure that  
18 there is a standard expectation of uptime across  
19 all ratepayer and taxpayer funded charging  
20 stations, as well as making sure that there is data  
21 transparency with ratepayer and taxpayer funded  
22 charging stations, so that what is being learned at  
23 those charging stations, the data can be  
24 appropriately shared with the utility, or with  
25 state agencies, or whoever may be overseeing the

1 funding of those charging stations, so that the  
2 learnings from that data can be applied to the  
3 market at large, and not just learnings for the  
4 sort of, you know, the network service provider  
5 would be really important in making sure that we  
6 all learn through this early investment  
7 opportunity.

8 That's all. Thank you.

9 MS. EICHLER: Okay. Thank you.

10 I think that's everyone that we go around to,  
11 and so I will move on to the next question. And  
12 again, feel free to pass or state you agree with a  
13 prior respondent.

14 Okay. The second question is we are  
15 interested to know are there -- a popular  
16 suggestion was the make-ready style partnership for  
17 developing EV charging station infrastructure, and  
18 we just want to real quickly see if anyone has  
19 anything they would like to offer as a drawback to  
20 that so that we have more information on that.

21 And we will start with the City of  
22 Tallahassee.

23 MR. COWART: Yes. This is Ben Cowart.

24 Could you clarify again what you are asking  
25 for?

1 MS. EICHLER: Yes. We just want to know in  
2 the opinion of the participants here today, are  
3 there any drawbacks to the make-ready style  
4 partnerships for developing EV charging stations?

5 We got a lot of pros in our responses, and we  
6 just wanted an opportunity to receive any of the  
7 cons, basically, for that style.

8 MR. COWART: Okay. The City offers no  
9 comment -- yeah, we offer no comment on that. We  
10 are neutral.

11 MS. EICHLER: All righty. Next Duke Energy.

12 MR. REYNOLDS: Yes. Thank you.

13 I think in terms of drawbacks to the  
14 make-ready approach, we would -- we would point out  
15 the risk of stranded assets. Our program that we  
16 are installing right now is utility owned and  
17 operated, and the reason for that is to ensure that  
18 the assets that are -- that are funded under the  
19 program are operated for the full useful life of  
20 the assets. And in a make-ready structure, there  
21 is really -- once the chargers are installed, there  
22 is very little recourse on the part of the utility  
23 to ensure that those chargers are operated reliably  
24 for the full life of the asset.

25 Thank you.

1 MS. EICHLER: Thank you.

2 Florida Power & Light and Gulf.

3 MS. DVARECKAS: Yes. So Florida Power & Light  
4 and Gulf, you know, support the growth and adoption  
5 of EVs in the state, and to do so, we would propose  
6 and design an EV pilot that supports the adoption  
7 of EVs by removing barriers to adoption.

8 The EV pilots that we are currently enacting  
9 are meant to enable data collection to inform our  
10 approach to support and advance the EV market going  
11 forward. I think it's still too early to tell  
12 within our pilot program what the best model will  
13 be for the utility. Overall, I think that in  
14 looking across the market, it will need to be a mix  
15 of business models, so make-ready may be one of  
16 them.

17 I would echo Duke's comment on stranded  
18 assets, and the fact that make-ready addresses just  
19 one cost component, and does not ensure the  
20 reliability for the customer experience.

21 I think the other kind of drawback that I  
22 would like to highlight that is that make-ready is  
23 ratepayer funded. And, you know, as the utility,  
24 we would like to retain the opportunity to be  
25 involved with what is happening with those funds to

1           ensure that they are deployed in a way that  
2           protects our customers, and is a good use of that  
3           investment. And I think that is where, again, the  
4           reliability and stranded assets comes into play as  
5           a consideration.

6           Thank you.

7           MS. EICHLER: Thank you.

8           JEA.

9           MR. LEIGH: Yes. As you heard from the other  
10          utilities, this is an evolving concept, and we  
11          don't have any further comments at this time.

12          MS. EICHLER: Thank you.

13          OUC.

14          MR. WESTLAKE: I have no comments on this.

15          I do -- would like to clarify my previous  
16          comment, because obviously I did an awful job of  
17          describing what I was trying to suggest.

18          We do not suggest a gas model approach to --  
19          to stations, but we need to make sure that we do  
20          not ignore the fact that if you are an EV driver  
21          and have a specific charging type, you must be able  
22          to charge that when you get there.

23          As a five-year EV driver, I know the  
24          frustration of getting to a station and not having  
25          the right app, or the right charging mechanism.

1           So that's our full assessment for the last  
2           one, but thank you.

3           MS. EICHLER: All right. Thank you.

4           OUC.

5           MR. WESTLAKE: That was OUC.

6           MS. EICHLER: Oh, I am sorry.

7           Tampa Electric Company.

8           MR. HERNANDEZ: Yes, Kenneth Hernandez with  
9           Tampa Electric.

10           I would echo some of the comments that we  
11           heard from both Duke and FPL. While Tampa Electric  
12           recognizes that there is a variety of opportunities  
13           business models for utilities to potentially  
14           leverage and participating in the market, we  
15           don't -- we don't have any specific information as  
16           far as cons or negatives with regard to make-ready.

17           MS. EICHLER: Thank you.

18           Advanced Energy Economy.

19           MR. GARCIA: Thank you. This is Noah Garcia.

20           We will submit that the make-ready model is  
21           certainly valuable and useful for meeting certain  
22           customer needs and aligning with the business model  
23           of some EV charging providers, particularly in  
24           cases when site hosts aren't -- or are not more  
25           comfortable in owning their own charging

1 infrastructure.

2 We -- we also want to say that the utility  
3 owned and operated model may also be valuable in  
4 cases where EV charging is harder to deploy, or  
5 there might be split intent as in terms of  
6 ownership. So we ask the Commission to consider  
7 both of those models, and just want to point out  
8 that the Commission has already approved a utility  
9 and EV charging infrastructure program that allows  
10 for utility ownership as well.

11 Thank you.

12 MS. EICHLER: Thank you.

13 Alliance for Transportation Electrification.

14 MR. JONES: Yeah. This is Phil Jones again.

15 I associate my remarks with Jill at FPL and  
16 with Noah of AEE. I think the make-ready model is  
17 a very good one. It's been used in a lot of states  
18 like New York and California, but we -- it does  
19 have some limitations, what some of the people have  
20 said, from challenging use cases, like multi-family  
21 dwellings, low income -- (inaudible) --  
22 communities, maybe some of the rural areas. So  
23 that's one possible limitation. You have to look  
24 at it on a case-by-case.

25 And then the data. The utilities need full

1 access to the data from the charging providers and  
2 manage charging, and load profile data, dwell time,  
3 all of that. Sometimes that is not easy to get.

4 So we encourage the utility to not have their  
5 hands tied, and to be able to -- to develop the  
6 market, develop a model that makes use for that use  
7 case. It's very use case specific.

8 That's it. Thanks.

9 MS. EICHLER: Thank you.

10 ChargePoint.

11 MR. WILSON: Yeah. Thank you for the  
12 question.

13 I think as you noted, the -- (inaudible) --  
14 proposal provides -- or has garnered a lot of  
15 support in the comments, and we see that in this  
16 instance as well as across the country.

17 You know, I think it's important to note that  
18 there is a couple of different ways to do  
19 make-ready. We've seen some variation on it across  
20 the U.S., and finding the model that is right for  
21 Florida will take a little bit of work. But I  
22 think there are ways that any concerns the  
23 make-ready approach can be addressed.

24 I would note that I think one piece on the  
25 make-ready approach it is kind of inextricably

1 linked to some of the other questions that the  
2 Commission and staff have asked in this docket.  
3 It's a way to level the playing field in a  
4 competitively neutral way for independent site host  
5 and charging providers. And so I think it's  
6 important to think of it, one, as a program that  
7 can help expedite the installation of charging  
8 equipment, but also a program that helps meet the  
9 standards of competitive neutrality that the  
10 Legislature has asked the Commission to look into.

11 So I appreciate all the comments, and just  
12 want to make the connection between some of the  
13 issues later on agenda.

14 Thank you.

15 MS. EICHLER: Thank you.

16 Drive Electric Florida.

17 MR. ALFORD: Yes. Matt Alford, Drive Electric  
18 Florida.

19 Just I was, like, nodding my head with  
20 everything that Justin was just saying, right? You  
21 know, it's -- you know, we are going to need to use  
22 a range of policy instruments. Make-ready was  
23 positively mentioned by most folks, right, because  
24 in some instances, the distribution system may need  
25 upgrades, particularly for site hosts that don't

1 want to go to the utility ownership route. It's  
2 also going to be more and more important as we look  
3 at different end use cases and different market  
4 segments in choosing price parity, right. If you  
5 want to have suite charging infrastructure  
6 solutions deployed, it's very likely that you might  
7 need to do some distribution upgrades.

8 So, you know, accordingly, right, so Drive  
9 Electric Florida believes that a multipronged  
10 approach that leverages a range of business models  
11 and approaches to deploy an owned and operate EVSE  
12 is probably the most credible and assured means to  
13 participate in the electric vehicle market, and,  
14 you know, make-ready is going to be an essential  
15 component, particularly as you see loads increase.

16 And that's it.

17 MS. EICHLER: Thank you.

18 EVgo. EVgo, are you on mute?

19 Okay, I guess we will move to Greenlots.

20 MR. COHEN: This is Josh from Greenlots.

21 I would offer two overall points response when  
22 it comes to make-ready. One is that from the cost  
23 recovery standpoint, and future proofing, right,  
24 where, in some cases, the installation costs,  
25 including the make-ready, can be a large chunk of

1 the total cost, if not more than the chargers  
2 themselves, and the value of building in future  
3 capacity. When it comes to cost recovery and  
4 thinking about what constitutes used an useful,  
5 there is just a lot of value to having a site host,  
6 a utility, whomever, when they are doing the  
7 make-ready, to plan ahead and to build in the  
8 capacity for future charging station -- (inaudible)  
9 -- two fast chargers right now. So just for the  
10 Commission's consideration, thinking about how to  
11 do that, I think will be a good conversation that's  
12 worth having.

13 The second point is that a range of business  
14 models and investment approaches for utilities is  
15 absolutely necessary, particularly at this stage of  
16 adoption. When it comes to the right -- the right  
17 approach, Greenlots thinks that make-ready should  
18 be the expected minimal standard for the utility,  
19 but it's not the ending point.

20 So whether it's make-ready, or rebate to  
21 customers, or utility ownership and operation, we  
22 think a whole range of investment approaches are  
23 appropriate and necessary. And part of it has to  
24 do with the unique challenges dealing with getting  
25 charging stations deployed in different customer

1 segments and use cases. So part of it is at the  
2 macro level as well. There is just not enough  
3 charging stations to support even current  
4 projections for EV adoption, let alone growing the  
5 market and supporting the goals of Senate Bill 7018  
6 to encourage EV adoption.

7 And so the main point is it would -- it would  
8 be a step backwards to preclude other forms of  
9 incentives and investments such as rebates and  
10 utility ownership.

11 Thank you.

12 MS. EICHLER: Thank you.

13 Tesla.

14 MR. BEAN: Thank you.

15 Make-ready holds a lot of promise, I think  
16 primarily because it's essentially an extension of  
17 existing line extension policy in establishing  
18 service at a location, just extending that behind  
19 the meter, which is very straightforward. It can  
20 be scaled very quickly, which is great.

21 Potential downsides that we see are when that  
22 design of a make-ready program deviates from that  
23 kind of tried and true and straightforward process  
24 and starts becoming overly prescriptive with  
25 different processes. And again, that line

1 extension process, very straightforward, single  
2 point of contact, you can kind of roll it into  
3 that. And within that process there is -- you  
4 could take the structure of applying an allowance  
5 and revenue test to ensure that there are no  
6 stranded assets, that based on the projected usage  
7 of that site the customer may have to chip in  
8 depending on how -- how often that site will be  
9 used.

10 So I think just, yeah, it holds a lot of  
11 promise, but the devil is in the details and there  
12 is a risk that it could get a little prescriptive  
13 and lead to higher costs and longer timelines.

14 MS. EICHLER: All right. Thank you.

15 Sierra Club.

16 MR. SHOAFF: Yeah. Thank you.

17 I think it's clear that there is consensus on  
18 this call about there being multiple approaches for  
19 utility participation, and we echo that sentiment,  
20 that there -- the Commission shouldn't prescribe  
21 one model over another, as we described in our  
22 comments.

23 I think different approaches may work better  
24 for different use cases, particularly around, like,  
25 unit dwellings in low income communities where the

1 financial incentive to install and operate a  
2 charging station may not -- may not be there for,  
3 say, a landlord in a way we think that a utility  
4 ownership model, you may end up further in EV  
5 adoption quicker than with a make-ready design.

6 So we encourage the Commission not to  
7 prescribe any one specific model, but to ensure  
8 that there are different ways for utilities to  
9 participate in charge infrastructure.

10 Thank you.

11 MS. EICHLER: Thank you.

12 SACE.

13 MR. CROSS: This is Stan from SACE, and I just  
14 want to echo what Sierra Club just said as well as  
15 what Duke and FPL offered at the top of this  
16 question segment, and what the Alliance for  
17 Transportation Electrification and Greenlots added.

18 I think that it's real important to be  
19 considering the different use cases that you are  
20 applying this to and making sure that you are  
21 making, you know, most effective use of a ratepayer  
22 dollars. And that includes, you know, ensuring  
23 that the investment in make-ready lead to charging  
24 stations that remain operable for the life of those  
25 chargers, because if they do become stranded

1 assets, and there hasn't been a process put in  
2 place where the utility can have recourse, then  
3 that could become problematic and onerous on  
4 ratepayers.

5 Thank you.

6 MS. EICHLER: Thank you.

7 All right. That's everybody. So we will move  
8 on to the next question, and this will be the last  
9 question for this first portion of Section 2.

10 And the question is: Are there any current  
11 issues or difficulties present with the EV charging  
12 station permitting process in Florida?

13 And we will start with the City of  
14 Tallahassee.

15 MR. COWART: Yes, this is Ben Cowart.

16 We can't speak to the state of Florida, but  
17 within our permitting jurisdiction, we don't see  
18 any impediments to EV charging stations, siting or  
19 construction.

20 And that ends our comment.

21 MS. EICHLER: All right. Thank you.

22 Duke Energy Florida.

23 MR. REYNOLDS: Yes. From Duke Energy Florida,  
24 I think we would offer that there is some  
25 variability in permitting across the whole

1 jurisdictions that can create delays in installing  
2 charging stations, and being a new technology, we  
3 are seeing some localities apply somewhat onerous  
4 requirements or processes that -- that are not  
5 necessary, and so there is some streamlining that  
6 could happen, perhaps at the state level, to  
7 expedite EV charging installations.

8 That's it. Thank you.

9 MS. EICHLER: Okay. Thank you.

10 Okay. Florida Power & Light and Gulf.

11 MS. DVARECKAS: Yes. I would echo -- echo  
12 what he just said, which is, you know, as a new  
13 technology, there is variability in how different  
14 jurisdictions are applying permitting criteria, as  
15 well as just the layer of education that's needed  
16 that can limit the speed at which EV charging is  
17 going in. This is something that we have come  
18 across as part of our pilot program. I think that  
19 to the extent that permitting process can be  
20 streamlined, it would be helpful in accelerating  
21 the deployment of EV infrastructure.

22 Thank you.

23 MS. EICHLER: Thank you.

24 JEA.

25 MR. LEIGH: Yeah. There is -- there is no

1           obvious impediment of the current permitting  
2           process. There is opportunities to streamline it,  
3           and I think those will occur as the market  
4           continues to evolve and grow.

5           That's all my comments.

6           MS. EICHLER: Thank you.

7           OUC.

8           MR. WESTLAKE: Yes. We have experienced  
9           difficulties in the permitting process and also  
10          changing landscape as we are in the -- in the  
11          process of installing high speed chargers. And we  
12          have identified this as a pretty significant issue  
13          in the FCG, the Florida -- the Florida group that  
14          is looking at ways to adopt electric vehicles, is  
15          there a way that we can simplify it and put a  
16          common permitting process across the entire state.

17          Thank you.

18          MS. EICHLER: Thank you.

19          Tampa Electric.

20          MR. HERNANDEZ: Yes, Kenneth Hernandez with  
21          Tampa Electric.

22          We don't have anything additional to add to  
23          the comments already heard.

24          MS. EICHLER: Thank you.

25          Advanced Energy Economy.

1           MR. GARCIA: Yes. So the permitting processes  
2           are typically guided by local jurisdictions and are  
3           not squarely a Commission jurisdictional issue.  
4           However, we agree with Duke, that there could be  
5           additional action taken at the state level to  
6           ensure that permit streamlining is -- or actions to  
7           facilitate permit streamlining are taken by local  
8           jurisdictions across the state.

9           Thank you.

10          MS. EICHLER: Thank you.

11          Alliance for Transportation Electrification.

12          MR. JONES: Yeah, this is -- this is Phil for  
13          ATE again.

14          I would agree with Noah, who just spoke. This  
15          is mainly a local government issue, so I defer to  
16          the utilities and the people who have already  
17          spoken on this, unless there is more opportunity,  
18          however, what you can do at both the state and  
19          local government level.

20          So the opportunity to remove an impediment  
21          would be the required building code -- a change to  
22          the building code that would require EV ready  
23          parking -- EV ready like make-ready equipment in  
24          new building construction across the state. It's  
25          controversial, and it would require probably

1 legislative changes at the state level, and then  
2 filter down to the local government level, but  
3 that's taken place in Atlanta, Chicago and other  
4 states across the country, like Washington state.

5 Thanks.

6 MS. EICHLER: Thank you.

7 ChargePoint.

8 MR. WILSON: Nothing -- I don't have any  
9 information specific to Florida, but I would echo  
10 across the country, we do see the issues that Duke  
11 and FPL raised.

12 I would also offer a specific example of what  
13 I think a couple of entities have alluded to, which  
14 is, you know, a statewide process to guide local  
15 jurisdictions. In California there was a similar  
16 bill, AB-1236, which required an entity in  
17 California to develop a statewide guidebook through  
18 an open process to address EV permitting issues.

19 I would note that I don't think legislation  
20 would necessarily need to be required for a state  
21 to take action to develop a statewide guidebook to  
22 streamline EV permitting in local jurisdictions. I  
23 would note, however, that in California, that  
24 AB-1236 process did include a budget for education  
25 and outreach to those local jurisdictions, which we

1 believe was very helpful in getting that guidebook  
2 disseminated, and utilities -- or sorry -- local  
3 jurisdictions actually using a guidance there.

4 Thank you.

5 MS. EICHLER: Thank you.

6 Drive Electric Florida.

7 MR. ALFORD: Hi. Yes, Matt Alford, Drive  
8 Electric Florida.

9 Just a big ole checkmark next to what Phil  
10 said, you know, there are, you know, building  
11 codes, there are many other facets to this that  
12 involve local governments besides just permitting.  
13 You know, there is a variability across  
14 jurisdictions, but if we are going to have a  
15 central network of infrastructure, you are going to  
16 need to have some sort of policy mechanism to  
17 deploy that application suite.

18 I would encourage our stakeholders to work  
19 with the Florida League of Cities and the Florida  
20 Association of Counties to kind of come up with,  
21 you know, what we think is the best approach.

22 California did require local governments to  
23 develop a permitting process by a time certain.  
24 So -- so there are some national models out there  
25 that sort of respect the role for local

1 jurisdictions, and the role that they have to play  
2 in this. There is also, right, landuse, planning,  
3 zoning, all of those things can kind of, you know,  
4 highlight where you might have issues in advance of  
5 the permits being filed and inspected. So, you  
6 know, just, I think, Phil and Justin did a great  
7 job there.

8 And that's all I have got.

9 MS. EICHLER: Thank you.

10 EVgo. They may not be on the call any longer.  
11 Greenlots.

12 MR. COHEN: Nothing further to add from  
13 Greenlots.

14 MS. EICHLER: Thank you.

15 Tesla.

16 MR. BEAN: Thanks.

17 I would agree that most of the things that  
18 come up are local -- local issues, so that  
19 statewide guidance could be helpful.

20 There is one area at the state in Florida  
21 Statute 366.94, Section (3)(a), there is -- it  
22 talks about designated charging or electric vehicle  
23 spaces. That can lead to some interpretation at a  
24 legal level that those stations are only for  
25 electric vehicles and, therefore, don't count

1           towards parking minimums. I think it's important  
2           as EV adoption increases that parking stalls are  
3           considered towards parking minimum requirements for  
4           properties, so that's one area to look at.

5           And then other points are guidance from the  
6           state on zoning. So sometimes these are due to  
7           staff stations, which would be a principle use.  
8           Planning boards tend to go through a longer process  
9           as opposed to these being considered an accessory  
10          use perhaps, say, a retail location, as well as how  
11          the equipment is viewed. Sometimes it's viewed by  
12          a local jurisdiction similar to a utility  
13          transformer, and local jurisdictions have  
14          restrictions as to where transformers can be  
15          located.

16                 Thank you.

17                 MS. EICHLER: Thank you.

18                 Sierra Club.

19                 MR. SHOAFF: Nothing further from Sierra Club  
20          on this point.

21                 Thank you.

22                 MS. EICHLER: Thank you.

23                 SACE.

24                 MR. CROSS: SACE would just like to reinforce  
25          what the Alliance for Transportation

1           Electrification said; otherwise, no further  
2           comments.

3           Thank you.

4           MS. EICHLER: All right. Thank you for all  
5           your responses.

6           The next section, we asked questions about in  
7           the data request had to do with what other states'  
8           strategies that maybe could be adopted or  
9           considered for the state of Florida. And we  
10          appreciate your responses. It was interesting to  
11          read about things such as the REV Connect program  
12          in New York, and the Maryland Zero Emission Vehicle  
13          Infrastructure Council in Maryland, and the Indiana  
14          Crossroads EV Corridor, and -- and we just want to  
15          state that we understand that not all plans operate  
16          the same from state to state. In essence, if the  
17          Florida Legislature was to adopt the exact  
18          framework from another state, we understand it may  
19          not be fully beneficial to Florida's regulatory  
20          framework and market when working toward increased  
21          EV charging station deployment.

22          With that being said, I do have just two  
23          questions I would like to ask. The first one  
24          being: Can you please identify, if any, obstacle  
25          unique to Florida, and it can be any aspect via

1 regulatory framework, EV market geography, et  
2 cetera, that are important to consider when the  
3 Commission is researching and exploring beneficial  
4 partnerships for EV charging station proliferation?

5 And we will start with the City of  
6 Tallahassee.

7 MR. COWART: Yes, Ben Cowart, City of  
8 Tallahassee.

9 We don't see any obstacles to identify.  
10 Thank you.

11 MS. EICHLER: Thank you.

12 MR. COWART: That affect our service  
13 territory.

14 MS. EICHLER: Okay. Thank you.  
15 Duke Energy.

16 MR. REYNOLDS: Yes. Lang Reynolds again for  
17 Duke Energy Florida.

18 I think in terms of the Florida specific  
19 considerations for expanding EV charging  
20 infrastructure, one of the -- one of the biggest  
21 considerations is the expansion of charging  
22 infrastructure on highway corridors and evacuation  
23 routes. Evacuation routes for hurricane evacuation  
24 is something that's fairly -- fairly specific to  
25 Florida. We see that in other states, but of

1 course, it's definitely top of mind for us every  
2 year in Florida.

3 So that -- as has been discussed in some of  
4 the previous questions, EV charging is not  
5 homogeneous block. There is a lot of different use  
6 cases. And I think the presence of, and the  
7 importance of ensuring that charging is available  
8 on evacuation routes does have some special  
9 considerations for developing the strategy for  
10 Florida.

11 That's it.

12 MS. EICHLER: Okay. Thank you.

13 Florida Power & Light and Gulf.

14 MS. DVARECKAS: Yes. So I think that based on  
15 the reference, it's been fairly well established  
16 that the EV charging infrastructure deployment from  
17 across the country demonstrates that utilities are  
18 well positioned to help build the infrastructure  
19 gap when they are authorized to make these  
20 strategic investments. I think the regulatory  
21 structure in Florida is, you know, unique in the  
22 sense that we are regulated utilities, and subject  
23 to oversight by the PSC. So I think our overall  
24 point would be to ensure that the Commission remain  
25 empowered to oversee transportation electrification

1 plans and how the utility plans to implement them.

2 And then as a second point, I would echo  
3 Duke's comments on Florida's geography being a  
4 unique consideration, particularly when it comes to  
5 evacuation, evacuation as well as return to Florida  
6 associated with hurricanes and damage. And I think  
7 that underscores, again, a unique role that the  
8 utility can play in ensuring that evacuation routes  
9 are adequately covered with reliable charging, as  
10 well as ensuring that they are providing  
11 redundancy.

12 So I think, you know, another consideration is  
13 that when we talk about how infrastructure is  
14 deployed, and talk about the number of chargers,  
15 it's very important that there be redundancy at  
16 each of the sites as if a customer pulled up to a  
17 site and a charger is down, it can exacerbate the  
18 range anxiety issue that we see within the market  
19 that is slowing deployment.

20 Thank you.

21 MS. EICHLER: Thank you.

22 JEA. JEA, are you on mute? All right. They  
23 may have dropped off.

24 OUC.

25 MR. WESTLAKE: Yes. We agree with the prior

1           comments. I would only add that as -- as disaster  
2           events are hopefully infrequent, that we consider  
3           more mobile solutions to handle evacuation routes  
4           versus stranded assets that may happen along the  
5           corridors. Some of the studies that we looked at  
6           are that people do not evacuate as much as we might  
7           think they do. They come inland.

8                        So I would look at the potential of using  
9           mobile solutions that can be deployed where the  
10          hurricane is going, versus -- versus beefing up  
11          along the areas; but otherwise, we are in agreement  
12          with pretty much everything else.

13                      MS. EICHLER: Thank you.

14                      Tampa Electric.

15                      MR. HERNANDEZ: Gentlemen, Kenneth Hernandez  
16          again with Tampa Electric.

17                      So we would echo the comments that have been  
18          made as far as evacuation and travel corridors that  
19          highlight, like FPL mentioned, the need for access  
20          in return home scenarios for evacuees returning  
21          into the state. And also add the need for focus on  
22          rural installations, since we have a great portion  
23          of the state that -- where customers live in rural  
24          settings.

25                      And that is all.

1 MS. EICHLER: Okay. Advanced Energy Economy.

2 MR. GARCIA: Thanks. We can't identify any  
3 Florida specific barriers at this time, but we  
4 certainly agree with what Duke and FPL said with  
5 respect to evacuation routes, and as well as  
6 keeping a strong Commission role, and retaining  
7 authority to review and approve transportation  
8 electrification plans that can meaningfully  
9 accelerate the adoption of EVs in the state.

10 We also just want to quickly add that Florida,  
11 of course, is home to many diverse and  
12 disadvantaged communities, and we also just want to  
13 make sure that any plans and investments that are  
14 put forward are intended to serve those areas, as  
15 well as other areas of the state.

16 Thank you.

17 MS. EICHLER: Thank you.

18 Alliance for Transportation Electrification.

19 MR. JONES: This is Phil again for ATE.

20 I don't think there is anything really unique  
21 about Florida in terms of the regulatory structure.  
22 I think it's adequate -- the regulatory toolbox  
23 that the Commission has is adequate to deal with  
24 these challenges.

25 In terms of hurricanes, of course, Florida has

1           hurricanes, but California, Oregon, Washington,  
2           have wildfires, too. So wildfire mitigation, just  
3           like planning for hurricane evacuations, is a huge  
4           issue.

5           So one thing that may be unique about Florida  
6           is that you have a chief resiliency officer serving  
7           in the Governor's Office. I had the chance to  
8           moderate a EV session with Secretary Palestine the  
9           other -- a couple of weeks ago, and there aren't  
10          too many states right now that have chief  
11          resiliency officers. So I think for the  
12          Commission, as this infrastructure is built out in  
13          Florida, there could be subject to some problems  
14          during hurricanes, as Jill of FPL said, or a mobile  
15          solution. You know, there are many solutions that  
16          are possible. And obviously, SB 7018 requires the  
17          interagency process.

18          Just keep that in mind, but I think it's  
19          really important for the state agencies to  
20          coordinate closely on these resiliency issues. You  
21          don't want to build too much redundant  
22          infrastructure, for obvious reasons, cost and other  
23          reasons, into the grid. And you want to make sure  
24          the third parties are building as well along with  
25          utilities. But this takes an enhanced level of

1 planning with your local government, as well as  
2 state government folks who deal with hurricanes and  
3 emergency response.

4 Thanks. That's it.

5 MS. EICHLER: Thank you.

6 ChargePoint.

7 MR. WILSON: I would just note that we  
8 generally agree with the comments that Phil with  
9 the Alliance for Transportation Electrification  
10 just made.

11 Thank you.

12 MS. EICHLER: Thank you.

13 Drive Electric Florida.

14 MR. ALFORD: Hi. Yes. Matt Alford, Drive  
15 Electric Florida.

16 I just want to at a very high level echo  
17 everyone's comments, and just point out the  
18 Commission has an important role to play in sort of  
19 establishing a collaborative statewide vision for  
20 EV charging and increasing EV adoption.

21 You know, there is some things that you can do  
22 on the standpoint of integrated resource planning  
23 and stand-alone transportation electrification  
24 plan, that has been an approach that other  
25 jurisdictions and markets have taken.

1           And there are also some things that we could  
2           do to send some clear market signals to our  
3           utilities, our local governments, key corporate  
4           accounts, right, in terms of setting goals, but  
5           achievable goals, right, from aspirational market  
6           signals that will generate some organic alignment  
7           amongst policy-makers and decision-makers.

8           So, you know, in terms of what other markets  
9           have done, they have also had state investments in  
10          this. So thinking about all of that holistically,  
11          right, like, each one of those action items is  
12          greater than the sum of its parts, and I would  
13          encourage the Commission to take a hard look at  
14          what -- (inaudible) -- in other markets.

15          MS. EICHLER: Thank you.

16          Greenlots.

17          MR. COHEN: Yeah. This is Josh again with  
18          Greenlots.

19          I would say in Florida specifically, there is  
20          both a challenge and an opportunity when it comes  
21          to the case of EV adoption. So the recent numbers  
22          I am looking at show that Florida is forth  
23          nationally in EV sales, which, of course, sounds  
24          good. But when you compare apples to apples on a  
25          per capita basis, Florida is 20th in EV sales per

1           capita. So there is a tremendous gap, but also a  
2           tremendous opportunity to help accelerate that  
3           adoption.

4                     And fortunately, as we know, that many of  
5           Florida's utilities have already been expressing  
6           interest, some recently, some for several years  
7           now. And as several of us have mentioned, and  
8           Greenlots certainly believes strongly, utilities  
9           are uniquely positioned to help adoption, and to do  
10          so in an equitable and geographically balanced way,  
11          particularly, as Ken mentioned, in terms of the  
12          rural character of a lot of Florida. I mean,  
13          utilities are uniquely positioned to help do that.

14                    So challenge and the lack of EV adoption are  
15          the, or I would say the slow pace of EV adoption,  
16          but an opportunity to help accelerate that.

17                    MS. EICHLER: Thank you.

18                    Tesla.

19                    MR. BEAN: Thanks.

20                    Yeah, I would echo everything that was said  
21          about emergency preparedness. Really, really  
22          important given the scale and frequency of those  
23          events.

24                    I would also like to highlight uniqueness of  
25          Florida, as mentioned previously, a travel

1 destination for the holidays, as well as seasonal  
2 travelers. So potentially coordinating with Visit  
3 Florida to ensure that people, when they do want to  
4 visit Florida, they are taking their EV and they  
5 are confident to take their EV as opposed to  
6 bringing their gas car.

7 And then another uniqueness of Florida is the  
8 value of goods that are shipped via heavy duty  
9 vehicles. It is one of the largest states in that  
10 regard, so there is a great opportunity to  
11 electrify those types of fleets, so trying to think  
12 through the coordination and planning that has to  
13 happen to enable that.

14 Thanks.

15 MS. EICHLER: Thank you.

16 Sierra Club.

17 MR. SHOAFF: Thank you.

18 We would just like to echo the comments from  
19 Greenlots, so that the opportunity that the  
20 Commission has to help encourage utilities in the  
21 state to propose large-scale investment in EV  
22 charging infrastructure, given their access to  
23 customers, I think the trusted relationship between  
24 customers and the utilities, I think they are  
25 viewed rightly as a -- as a credible, dependable

1 source of information, and so are in a fantastic  
2 position to promote EV growth in the state.

3 Thank you.

4 MS. EICHLER: Thank you.

5 SACE.

6 MR. CROSS: Hello. This is Stan from SACE  
7 again.

8 And I would just add that, you know, with  
9 thinking about the unique characteristics of  
10 Florida, we've been talking about the need to he  
11 evacuate, which is real and present. I just want  
12 us to all imagine what would happen to, you know,  
13 the -- the market if all of our efforts did not  
14 lead to EV drivers being able to safely evacuate  
15 from a hurricane condition.

16 So that -- that has to be, you know, front and  
17 center in our minds, and utilities are uniquely  
18 positioned to help come up with solutions for that,  
19 since the need for evacuation is very different  
20 than the day-to-day need for charging  
21 infrastructure to support local ownership.

22 At the same time, you know, Florida has a  
23 tourism market, and as Southern Alliance for Clean  
24 Energy and Atlas Public Policy showed in our  
25 recently released report on economic development

1 opportunities in Florida, this is really a key  
2 place for Florida to be investing in transportation  
3 electrification.

4 Florida is the end of the road, and it has an  
5 opportunity to partner with other southeastern  
6 states to ensure, to Tesla's point, that folks are  
7 driving their EVs to Florida on vacation. And so  
8 making sure that along with thinking about how we  
9 evacuate from storms, we are also thinking about  
10 how we maximize that tourism economic development  
11 and opportunity, and how we are doing it in  
12 partnerships with our neighboring states to ensure  
13 corridor connectivity throughout the region.

14 Thank you.

15 MS. EICHLER: Thank you.

16 And the final question for this section is  
17 going to be kind of an opinion question, and it is:  
18 Do you believe legislative requirements are  
19 necessary, or do you believe the EV charging market  
20 will move to fill gaps on its own?

21 And we will start with the City of  
22 Tallahassee.

23 MR. COWART: The City believes legislative  
24 action is not necessary to market.

25 That ends my comment.

1 MS. EICHLER: Thank you.

2 Duke.

3 MR. REYNOLDS: Lang Reynolds from Duke Energy  
4 here.

5 It's a bit of a broad question. I guess we  
6 are -- we have been focused, as a utility, on what  
7 we can do to expand access to EV charging and  
8 support market growth through foundational  
9 infrastructure and education to our customers.

10 I would add that we have seen so Josh from  
11 Greenlots mentioned the market share in the Florida  
12 market right now for EVs, and it is behind what we  
13 are seeing in other states, and there are policy  
14 mechanisms that can be tied so some of those higher  
15 levels of adoption. So I think we probably need to  
16 know a little bit more about the specifics of this  
17 kind of a question, but again, we think that  
18 utilities are -- are well placed to support market  
19 growth and adoption of EVs and EV charging  
20 stations.

21 That's it for now.

22 MS. EICHLER: Okay. Thank you.

23 FPL and Gulf.

24 MS. DVARECKAS: Yes. So FPL and Gulf feel  
25 that the wide variety of strategies that have been

1 mentioned today demonstrate the diversity of  
2 approaches that have been successful elsewhere, as  
3 well as the current innovation that we see in the  
4 market, both across the utility players as well as,  
5 you know, other vendors in the market and  
6 participating in this call.

7 I would say that this highlights the  
8 importance of allowing the market to develop, and  
9 we would just like to underscore that we think a  
10 light touch regulation of this space is necessary.  
11 We believe the current regulatory structure is  
12 sufficient. Though, again, I would reiterate as I  
13 did in the last statement, that the PSC should be  
14 empowered to review and evaluate utility EV  
15 programs, tariffs and investments. We would like  
16 to see this being done on a case specific approach,  
17 instead of a broad legislative mandate.

18 With that in mind, we also want to highlight  
19 that the PSC review should acknowledge the  
20 potential -- the inclusion of EVSE and utility rate  
21 base will ensure investment. The general body of  
22 customers, and not only EV drivers stand to benefit  
23 from transportation electrification. And then the  
24 analysis of cost and benefits should be done on a  
25 system basis.

1 Overall, I think that we are supportive of any  
2 action that helps to grow this market and  
3 accelerate transportation electrification as we  
4 view it as beneficial both to EV drivers, to our  
5 customers, to the market, and as well as to the  
6 system as a whole.

7 Thank you.

8 MS. EICHLER: Thank you.

9 JEA.

10 MR. LEIGH: JEA does not foresee any  
11 legislative solution that would help at this time,  
12 but would certainly be open to considering and  
13 support legislation in the future.

14 Thank you.

15 MS. EICHLER: Thank you.

16 OUC.

17 MR. WESTLAKE: OUC agrees that the utilities  
18 are probably positioned best to encourage EV  
19 adoption in our respective territories, but we  
20 would be more concerned with policy that is more  
21 punitive in nature. So as an example, a gas tax  
22 replacement is seen -- could end up being seen as  
23 punitive if it was excessive. So we would be more  
24 concerned with that sort of negative piece.

25 Thank you.

1 MS. EICHLER: Thank you.

2 Tampa Electric.

3 MR. HERNANDEZ: This is Kenneth Hernandez  
4 again with Tampa Electric. And we would agree with  
5 the comments provided by Florida Power & Light.

6 Thank you.

7 MS. EICHLER: Thank you.

8 Advanced Energy Economy.

9 MR. GARCIA: Thanks. We generally agree with  
10 the comments made by Florida Power & Light, and  
11 just add that, as you can tell, there are many EV  
12 charging market players on this call that are  
13 installing charging infrastructure in the state of  
14 Florida to support the EV market, but we just want  
15 to add that utilities also have an important role  
16 to play, not only in accelerating this market, but  
17 doing so in a way that actually creates utility  
18 customer grid and broader societal benefits. And  
19 in that process, the PSC has an important role in  
20 ensuring that these plans and investments that are  
21 put forward by utilities do achieve those goals,  
22 and do so in a way that, again, is driving these  
23 broad benefits that electrification can promise and  
24 that we detailed further in our comments.

25 So I will just stop there and conclude.

1 MS. EICHLER: All right. Tampa -- Tampa  
2 Electric -- oh, no, we just did Advanced Energy  
3 Economy. Okay, Alliance for Transportation  
4 Electrification.

5 MR. JONES: Thank you. This is Phil with ATE  
6 again.

7 I would agree with the previous commenters,  
8 legislation is not necessary. The just and  
9 reasonable rate-making framework under Florida law  
10 and rules is adequate. We call it the regulatory  
11 toolbox. There are a lot of tools in the toolbox  
12 that the Commission can use, previously, obviously  
13 remains a principle that the Commission apply going  
14 forward. Just a couple of comments, though.

15 Planning is important. I think several  
16 commenters have talked about two new plans, and  
17 obviously SB 7018 is going to require a corridor  
18 charging plan, but we think it's important for the  
19 utility to do that. Sometimes states want to do a  
20 rollback for the entire state. That's been done in  
21 many states, or states have a voluntary roll of,  
22 let's say, 1.4 EVs by 2030 through an executive  
23 order. That's a possibility. That's not your call  
24 because that's another agency that would do that.  
25 But some sort of rollback over the 10- or 20-year

1 period sort of IRP or some sort of plan is  
2 important, and then the Commission could  
3 acknowledge that and deal with the specifics.

4 And the other thing, of course, is rate  
5 design. And stakeholder process rate design is  
6 going to be critical. The Commission has a lot of  
7 flexibility to deal with different types of rate  
8 designs.

9 And then the stakeholder process. What you  
10 are doing today with people on the phone, it's  
11 important to keep the stakeholder process going  
12 because this is going to be dynamic, not static.  
13 And to have some forum where Commissioners and  
14 staff can go back to the stakeholders and vet these  
15 issues is important because it's changing very  
16 rapidly.

17 That's it.

18 MS. EICHLER: Thank you.

19 ChargePoint.

20 MR. WILSON: I think the Legislature can offer  
21 some important policy guidance as well as look  
22 at -- important policy guidance to the PSC as well  
23 as look at strategies outside of the Public Service  
24 Commission purview to help expedite EV growth and  
25 EV charging infrastructure growth.

1           That said, I think at this current time, the  
2           Commission has the appropriate tools necessary  
3           taking into consideration the issues the  
4           Legislature has previously identified.

5           Thank you.

6           MS. EICHLER: Thank you.

7           Drive Electric Florida.

8           MR. ALFORD: Hi. Yes, Matt Alford, Drive  
9           Electric Florida.

10           You know, the Commission has an adequate set  
11           of regulatory tools at their disposal, you know,  
12           but we will see kind of, I guess, you know, what  
13           the outcomes are and what the, you know, industry  
14           and the stakeholders have an appetite to do.

15           Most other states have seen some combination  
16           of legislative, executive and regulatory action to  
17           move forward. And again, right, just to echo  
18           Justin, the Legislature can offer some important  
19           policy guidance to the PSC, as well as look at some  
20           strategies outside of what's within your regulatory  
21           purview.

22           I think the single most important thing to  
23           increase investments, you know, in transportation  
24           electrification and EVSE is to provide some  
25           regulatory and statutory certainty to the market

1 participants, so I would close with that.

2 MS. EICHLER: Thank you.

3 Greenlots.

4 MR. COHEN: Let me offer a few thoughts on  
5 this, and one is to echo what Matt just said, that  
6 states that are seeing good EV adoption leverage  
7 not only legislation, but also executive action and  
8 Commission action, and so a diverse approach is  
9 needed.

10 I think, specifically in terms of any  
11 legislation, that would be helpful. And going back  
12 to Senate Bill 7018, which does invite the  
13 Commission, FDOT and Office of Energy to, you know,  
14 suggest things, including potential legislation, I  
15 would offer a few high level recommendations to  
16 think about.

17 One is just at a foundational level. Setting  
18 a target for EV adoption is probably one of the  
19 most basic and impactful things that states can do.  
20 And then when you break it down further into  
21 different vehicle classes, whether it's light duty  
22 vehicles or also medium and heavy duty vehicles, as  
23 most folks on this call know, 15 states and the  
24 District of Columbia, not legislatively, but the  
25 executive action signed onto a multistate

1 memorandum that called for increasing levels of  
2 electric medium and heavy duty sales within their  
3 states with a specific deadline for that.

4 So there is different -- different forms that  
5 these targets can look like, but without being too  
6 prescriptive, I would say if the Florida  
7 Legislature says, hey, here's where we want to be  
8 as a state in terms of EV adoption, that would be a  
9 huge step to move forward. And again, not just the  
10 different vehicle classes, but also targeting use  
11 cases, like ports, for instance, and non-road  
12 equipment. I mean, there is a whole range of  
13 action.

14 So in terms of any recommendations that may  
15 come out of this process to the Legislature, I  
16 think, you know, with a broad brush, things along  
17 those lines could be very impactful.

18 The corollary to that is that, as Phil  
19 mentioned, the Commission already, today, has the  
20 full regulatory toolbox to move forward in the  
21 context of utility filings. And, you know, Senate  
22 Bill 7018 again gives that to the Commission to --  
23 I mean, more so than it already has in terms of  
24 setting as state policy the goal of encouraging EV  
25 use and adoption. Not just encouraging charging --

1 hurricane corridor charging, but also encouraging  
2 short-range and long-range adoption.

3 So there should be no question that the  
4 Commission needs further, you know, authority. The  
5 Commission already has full authority to move  
6 forward whether it's through transportation  
7 electrification planning, or whether it's through  
8 specific utility filings.

9 And then the third piece has to do with the  
10 language in Senate Bill 7018 about considering the  
11 appropriate role for utility participation in a  
12 competitive and neutral manner. I think that's  
13 important language. And when it comes to the  
14 appropriate role of electric utilities, of private  
15 network owner/operators, of third-party suppliers,  
16 of site hosts, I think it's important to view all  
17 of those as important actors in the marketplace.

18 So from a Commission standpoint, Greenlots  
19 would encourage the Commission to try and be  
20 thoughtful about avoiding tilting the market,  
21 either in favor of a particular business model or  
22 away from other business models, and really take a  
23 range of investment approaches and support that.

24 Thank you.

25 MS. EICHLER: Thank you.

1 Tesla.

2 MR. BEAN: Thank you.

3 We do not believe that legislative action is  
4 needed at this time. Although, I will highlight  
5 something we said in our comments about sales tax  
6 treatment of electricity that is going to charging  
7 station and then being taxed on the utility bill  
8 and then being assessed a tax when a customer  
9 charges their vehicle. That may be something that  
10 the Legislature has to weigh in on eventually, but  
11 I am not sure about that right now.

12 Thanks.

13 MS. EICHLER: Thank you.

14 Sierra Club.

15 MR. SHOAFF: Yeah, thanks. This is Nathaniel  
16 again.

17 Part of the question that you posed to all of  
18 us was is legislation necessary or is the market  
19 going to fill the gap on its own?

20 In Sierra Club's view, the answer is, yes.  
21 The market is going to fill the gap, but I think  
22 it's important to keep in mind that, like Noah from  
23 AEE said, the Commission has an important role in  
24 ensuring that these benefits of transportation  
25 electrification are achieved, and that they are

1           achieved quickly, and that the benefits of  
2           electrification reach all parts of the state. That  
3           could be people who live in rural areas. It could  
4           be low income communities. It could be communities  
5           of color. I think those -- these sorts of  
6           questions are ones that the Commission should keep  
7           in mind, is that it has the ability -- the  
8           utilities have the ability to ensure that these  
9           benefits actually reach the population in Florida,  
10          and reach it at scale, and reach it more quickly  
11          than otherwise would have if the state doesn't ask.  
12          So we encourage the Commission to take on the  
13          responsibility to help meet those challenges so  
14          that these benefits flow and flow quickly.

15                 Thank you.

16                 MS. EICHLER: Thank you.

17                 SACE.

18                 MR. CROSS: This is Stan Cross from SACE.

19                 And I will just echo what Greenlots and Sierra  
20          Club mentioned, and just put a little more weight  
21          on the value that the Legislature or executive  
22          action can play in setting a goal for the state.

23                 Right now, Florida has a very unique  
24          opportunity in Senate Bill 7018 bringing together  
25          multiple agencies to look at this issue. And what

1 we see nationwide is that states that have used an  
2 effective blend of executive action, legislative  
3 action and regulatory utility action and engagement  
4 is what -- (inaudible) -- the market is strongest.

5           Though we agree with what Alliance for  
6 Transportation Electrification and others have  
7 said, that the Commission has the tools that it  
8 needs in its toolbox, we also advocate that the  
9 State of Florida to look at expanding that toolbox  
10 and setting goals for light duty adoption, but also  
11 setting goals for state fleet light duty adoption,  
12 as well as transit and school bus adoption, as  
13 examples, would help drive our actions towards a  
14 goal instead of driving actions towards a --  
15 (inaudible) -- market forecast, the goal will root,  
16 you know, the sort of question of whether or not  
17 the action should be taken and something that we  
18 can measure progress towards.

19           Thank you.

20           MS. EICHLER: Thank you.

21           That is all the questions that I had for  
22 Section 2. I appreciate everyone participating and  
23 sharing all of the valuable ideas. It gives us a  
24 lot to think about as we work through carrying out  
25 the requirements of Bill 7018. And I am going to

1           throw it back to Ben Crawford for the next section.

2           MS. CRAWFORD: Thank you, Shelby, and all of  
3           our commenters who took part in the discussion.

4           Unless somebody who hasn't weighed in yet has  
5           something further to add, we will move on to the  
6           third topic. All right, move on to the final topic  
7           for discussion.

8           The final set of responsibilities that Senate  
9           Bill 7018 directed us to fulfill was identifying  
10          regulatory structures necessary for the delivery of  
11          electricity charging stations. Was is one of most  
12          important and complex topics we are hoping to hear  
13          from stakeholders on and the comments gave us a  
14          wide range of options to work with. Asking  
15          questions on the final topic will be Dale Eastman.

16          Dale. Dale, are you available on the phone or  
17          do you have your phone muted?

18          MR. EASTMAN: Oh, sorry, this is Dale --  
19          (inaudible) -- so I just got in.

20          Ben, am I all set for -- to go?

21          MR. CRAWFORD: Yeah, Dale, go ahead -- go  
22          ahead with your question.

23          MR. EASTMAN: Okay. I am sorry about that,  
24          guys. Like I said, my assistant -- (inaudible) --  
25          as soon as Shelby ends. Timing is everything,

1 right?

2 So this section is going to be concerning the  
3 regulatory structure necessary for delivery of  
4 electricity to EV charging station infrastructure.

5 Staff found that many respondents felt that  
6 current regulatory structures governing the  
7 delivery of electricity to EV infrastructure are  
8 not a barrier to the expansion of EV charging  
9 infrastructure in Florida. Public utilities have a  
10 wide variety of options to participate in the EV  
11 charging market, and have begun to explore those  
12 options.

13 Time of use and dynamic rates may be used for  
14 certain cases but may not be appropriate and  
15 cost-effective for all use cases. The overall goal  
16 of rate design should be to move the EV charging  
17 load to off-peak periods through rates, technology  
18 and changing consumer behavior.

19 Another rate structure option is to establish  
20 and maintain a fair fee structure for electric  
21 vehicles, which may be road usage charges,  
22 mileage-based user fees or other mechanisms.

23 One other option is to allow utilities to  
24 recover make-ready where stand-alone economics may  
25 not support a direct economic business case, public

1 chargers that reduce range anxiety and low income  
2 areas of their service territory that may not  
3 readily justify the infrastructure expense.

4 Comments that were submitted to PSC Staff on  
5 what constituted competitively neutral policies  
6 were mostly in agreement from the respondents. The  
7 idea that a general mix between allowing utilities  
8 to play a role, as well as having private  
9 industry/site host take the lead on the innovation  
10 of charging hardware, software and pricing will  
11 have the best outcome.

12 Respondents mostly agree that competitively  
13 neutral policies are those policies which allow for  
14 participation in the market by all parties,  
15 including electric utilities, in a manner that does  
16 not favor one participant over another. A  
17 competitively neutral approach should neither  
18 prohibit utility investment and ownership of  
19 charging stations, nor private party investment and  
20 ownership of charging stations.

21 It is important to ensure that all  
22 stakeholders involved in the deployment, ownership  
23 and operation of EV charging equipment are on as  
24 equal of a playing field as possible. To the  
25 extent utilities are authorized to own charging

1 stations, guidelines should be adopted to ensure  
2 they are subject to the same line extension  
3 policies and procedures, rate design, and are not  
4 provided with preferential treatment to non-utility  
5 charging operators.

6 On the participation of public utilities in  
7 the electric market -- marketplace, excuse me --  
8 staff found that utilities have roughly four levels  
9 of possible engagement in the market: Site host  
10 owned and operated, third-party owned and operated,  
11 site host owned but third-party operated, and  
12 utility owned and operated.

13 Most respondents expressed the preference of  
14 flexibility for all parties as being a high value  
15 moving forward. Additionally, as electric vehicle  
16 adoption grows, utilities will need to incorporate  
17 this growth into their long-range infrastructure  
18 plans.

19 One area where consensus exists on this topic  
20 is on make-ready, where utilities invest in a  
21 conduit and other electrical infrastructure leading  
22 up to the charger. The result leverages utilities'  
23 strengths in infrastructure build-out with the  
24 scale, learning and efficiencies that private  
25 developers have built over thousands of installs

1           and hundreds of thousands of customers. Make-ready  
2           should also avoids potential issues with ownership  
3           such as the monopoly entity's ability to set its  
4           public pricing at rates too low for the private  
5           market to compete, which may hinder competition.

6                        So what I am going to do is go I am going to  
7           break this up by topic. For the first segment, I'm  
8           going to focus my questions on the regulatory  
9           structure necessary for delivery of electricity to  
10          EV charging station infrastructure. So for this  
11          line of questioning, I am going to direct this  
12          towards private -- private charging industry.

13                      In your eyes what kind of rate structure  
14          should IOUs have? Time of use, realtime pricing,  
15          or something else?

16                      And we will start with ChargePoint.

17                      MR. WILSON: Thanks, Dale.

18                      And just a clarifying question. I believe  
19          what you are asking is what rate -- what type of  
20          rate structure should utilities charge the customer  
21          of record, or perhaps the site host that is  
22          providing the EV charging service; is that correct?

23                      MR. EASTMAN: Correct.

24                      MR. WILSON: Okay. Wonderful.

25                      So I think broadly that ChargePoint believes

1           that there is a couple of different ways to look at  
2           this. I think fundamentally it's important to  
3           realize that, in many applications, EV charging is  
4           a very low utilization type customer, in particular  
5           EV fast charging, but also to some extent, fleet  
6           charging and public Level 2 charging as well.

7                     And so while we think that time of use rates  
8           have a very important role to play in helping  
9           provide price signals of, you know, when the most  
10          optimal use of the grid might be, we also believe  
11          that low load factor rates which we've seen in many  
12          other states for specific use cases as perhaps  
13          being applicable here. And so examples of that are  
14          agri -- irrigation and agricultural rates, special  
15          rates for ball fields, at houses of worship, all  
16          which have relatively low utilization, low load  
17          factors as being a way to ensure the site host can  
18          equally participate in the market.

19                    That's not -- those are not the only rates. I  
20          think there is a variety of rates that have been  
21          instituted across the U.S., and are being  
22          considered across the U.S., and each of them should  
23          be evaluated independently and with that unique  
24          utility's characteristics in mind.

25                    Thank you.

1 MR. EASTMAN: EVgo. EVgo, are you on mute  
2 still, or still don't have you?

3 MR. CRAWFORD: I think we may have lost EVgo.

4 MR. EASTMAN: Yeah, I think so.

5 Okay, Greenlots.

6 MR. COHEN: Yeah, this is Josh from Greenlots.

7 So in terms of the appropriate regulatory  
8 structure and rate structure, let me just kind of  
9 zoom out for a bit and just offer the big picture  
10 context, which is that EV charging has the  
11 potential to offer significant benefits to the grid  
12 and ratepayers by selling a larger volume of  
13 kilowatt hours of electricity that allows the  
14 utilities to either use to spread out their system  
15 costs across a greater sale of electricity, but the  
16 key is to optimize that off-peak charging is  
17 desirable.

18 So as a general principle, Greenlots believes  
19 that the value of EV charging is best unlocked when  
20 the price of electricity aligns with the cost of  
21 electricity at that time.

22 So rate design is important. We see time of  
23 use rates as an often appropriate first step to  
24 help incentivize customer charging behavior and  
25 shift some of that load; but we see rate design as

1           just a first step. And it's -- in some ways, it's  
2           signed of a blunt instrument that doesn't offer  
3           really granular variation in pricing, and it often  
4           requires active customer awareness and  
5           participation. It's more passive from the utility  
6           standpoint.

7                        So Greenlots really sees leveraging software  
8           as the secret to really unlock the value that EV  
9           charging has to offer for the grid, and for all  
10          ratepayers. And without doing a deep-dive into it,  
11          just the ability to offer dynamic realtime load  
12          management through price signals, is just -- is  
13          just very powerful, and in many ways can complement  
14          and amplify rate design and timing constraints.

15                        Thank you.

16                        MR. EASTMAN: Great.

17                        And Tesla.

18                        MR. BEAN: Thanks.

19                        Yeah, I don't think we can really prescribe  
20          whether dynamic or time of use rates are better,  
21          but just more importantly, that customers are  
22          getting more precise price signals about conditions  
23          on the grid, and that those signals are actionable.  
24          So primarily, that's time of use rates, or even  
25          moving towards away from a non-coincident demand

1 charge to more of a more coincident demand charge  
2 with discrete time periods in which it's measured.

3 But time of use rates can be very -- are a  
4 good signal so that charging operators can better  
5 manage their systems and their costs, and are  
6 incentivized to reduce their costs and to then send  
7 signals to the end use drivers.

8 And then in terms of dynamic rates, you know,  
9 tend -- those dynamic rates tend to really just  
10 reflect the fuel or the generation component, and  
11 that's -- that's fine, but we do also have to deal  
12 with the capacity components. So there could be a  
13 blends of different bill structures or rate design  
14 structures.

15 And then in terms of actionable with time of  
16 use rates. What I mean with that is avoiding, say,  
17 a 12-hour peak period, because that really doesn't  
18 give an operator or a customer much of an  
19 opportunity to avoid that peak.

20 And then it's obviously important to ensure  
21 that costs are recovered. So what we have looked  
22 at are -- with some utilities are what is the cost  
23 to serve this site and making sure that we are  
24 contributing to the commercial class average.

25 So in our comments, we pointed out a realtime

1 price rate design that Georgia Power offers that  
2 ends up getting the effective price for charging  
3 stations closer to the commercial class average  
4 while ensuring that cost, full cost of serving that  
5 site are recovered. And that's go been really  
6 beneficial to investment in Georgia.

7 So I will leave it at that. Thank you.

8 MR. EASTMAN: Okay. Great.

9 And I am actually going to ask the utilities  
10 to provide comments and thoughts on what was just  
11 stated by the private charging industry.

12 So I will start with the City of Tallahassee.  
13 City of Tallahassee, are you on mute?

14 MR. COWART: Yes. I am sorry about that. Ben  
15 Cowart, City of Tallahassee.

16 We think that as EV adoption increases among  
17 our customer base, that rate design will have to be  
18 considered, and probably a time of use or some kind  
19 of maybe innovative flat fee charging fee, because  
20 there is the issue of how do you segregate EV  
21 charging from the rest of the customer's load? Is  
22 that is a second meter dedicated to EV charging?  
23 Do you have analytical software that can recognize  
24 when an EV is charging, and how does that happen?  
25 So there is other implications that have to go

1 along with, you know, other things to be considered  
2 with the rate design.

3 That ends my comment.

4 MR. EASTMAN: Okay. Great.

5 Duke Energy.

6 MR. REYNOLDS: Yes. This is Lang Reynolds for  
7 Duke Energy Florida.

8 As far as -- so rate design and these rate  
9 structures that you specifically asked about, it's  
10 a pretty complicated question. I have heard a few  
11 different things from the vendors here today. I  
12 think it's important to step back and probably  
13 first set the stage a little bit with what -- what  
14 we would be trying to accomplish. What are the  
15 goals? And also understand that these different  
16 segments have -- have different use cases, and what  
17 is appropriate for residential customers is  
18 probably -- or could be different than what's  
19 appropriate for C&I customers that deploy Level 2  
20 versus DC fast charging.

21 So there is a pretty broad spectrum of  
22 possibilities here, and it's also important to  
23 understand what we are trying to accomplish with  
24 these different price signals. So are we trying to  
25 encourage EV adoption? That's one question. Are

1 we trying to shape and manage load? That could be  
2 another question.

3 So I think it's really a pretty complex  
4 question that's difficult to answer in just one way  
5 or the other in a short period of time. But one  
6 thing that I would add is that looking at the data  
7 that we have on our customers who -- who do operate  
8 charging stations, we -- we think we have a  
9 pretty -- a pretty good selection of existing  
10 rates, so we haven't -- nobody has demonstrated  
11 that EV charging is facing onerous costs on the  
12 commercial/industrial side right now with our  
13 existing rates. We also have existing time of use  
14 rates across the spectrum, and also C&I rates that  
15 don't feature a demand charge.

16 So I think that this question is really a  
17 pretty broad question, and I think it does depend  
18 on the specific segments, and specific utilities  
19 even, when it comes to what -- what's being offered  
20 and what the goal of changing the current offers  
21 would be.

22 That's it.

23 MR. EASTMAN: Thank you.

24 FPL and Gulf.

25 MS. DVARECKAS: Yes. I would echo Duke's

1           comments on needing more clarification on the  
2           objectives of a time of use rate. For example, FPL  
3           currently has three pilot tariffs submitted to the  
4           Commission for consideration. And two of those,  
5           which we kind of refer to as demand limiter tariffs  
6           are intended to help address the economic  
7           challenges that demand charges cause for operators  
8           of low utilization fast charge stations. In  
9           designing those tariffs, we considered various rate  
10          designs proposed within the -- within the industry,  
11          you know, looking at eliminating demand rates,  
12          discounting, replacing them with volumetric rates,  
13          time of use rates, fixed subscription charges.  
14          Ultimately, in terms of those that we put forward,  
15          we chose the demand limiter mechanism because it  
16          provided rate relief for low utilization stations  
17          that need it most, and then revert it back for  
18          others.

19                 I understand that that docket is not up for  
20          discussion today, but just showing how, for a  
21          specific issue, there was many considerations that  
22          went into what the right rate mechanism was.

23                 With regard to time of use rate specifically,  
24          I would say, you know, at this stage notice EV  
25          market development process, we didn't feel that

1           they were ideally suited at this time; however, as  
2           EV penetration increases and drivers become more  
3           educated, we do think that managing the impact of  
4           EVs on the grid in a way that facilitates a more  
5           efficient use of the grid will become more  
6           critical. So, therefore, you know, FPL is not  
7           opposed to evaluating these types of time varying  
8           rates on customer behavior in future studies or  
9           tariffs, so I would continue to emphasize that more  
10          consideration and discussion is needed about the  
11          specific goals, and the best way to achieve that.

12                   Thank you.

13                   MR. EASTMAN: Great.

14                   JEA, if they are still with us.

15                   MR. LEIGH: Yes. JEA believes that regardless  
16          of the end use, the most equitable rates result  
17          when costs are allocated to the end use in  
18          proportion to the cost of providing the service.  
19          That being said, JEA recognizes that there is  
20          continuum of rates that can be used for EV  
21          charging, with one extreme, probably the most  
22          equitable being realtime pricing, and probably the  
23          least equitable but easiest to administer is just a  
24          fixed rate based on generalizations about end use.

25                   With that being said, there are constraints to

1 more equitable pricing techniques, including the  
2 ability to measure the service and communicate in a  
3 dynamic fashion the price of a service to a  
4 customer.

5 So JEA believes and -- and -- and will adopt,  
6 consistent with cost-effectiveness pricing,  
7 techniques that accomplish and result in more  
8 equity as time goes on and metering technologies  
9 evolve.

10 Thank you.

11 MR. EASTMAN: Thank you.

12 OUC.

13 MR. WESTLAKE: Pete Westlake with OUC.

14 If we separate out home base charging from  
15 commercial and high speed charging, home base we  
16 feel is best served by a time of use rate and --  
17 and getting that rate in there now so that we can  
18 begin to form habits for people who are purchasing  
19 vehicles is -- is pretty important.

20 The high speed charging, where you have got  
21 very extensive equipment that is -- is serving a  
22 high demand and low -- and a low -- a low peak  
23 is -- is really complicated and will take a  
24 different form -- it will take a different way to  
25 solve that problem, because we need to look at the

1 aggregated value of an electric vehicle versus that  
2 single event which is causing demand at the high  
3 speed charging, because 20 percent -- that only  
4 represents 20 percent of the charging that's  
5 happening with the vehicle. So I think it's going  
6 to require some very creative rate based processing  
7 to be able to solve this problem.

8 Thanks.

9 MR. EASTMAN: Thank you.

10 Who's next? TECO.

11 MR. HERNANDEZ: Yes, Kenneth Hernandez again  
12 with Tampa Electric. And we would agree with the  
13 comments already provided by Duke and FPL.

14 Thank you.

15 MR. EASTMAN: Okay. Thank you.

16 I am going to pose -- or I am going to ask the  
17 interest groups to -- to weigh their thoughts in on  
18 this as well. So let's start with Advanced Energy  
19 Economy.

20 MR. GARCIA: Sure. We will just quickly add  
21 that we agree with Greenlots' view, that rate  
22 design is important for driving and bringing sort  
23 of the benefits of EVs through managed charging,  
24 and potentially putting downward pressure on  
25 utility rates for all customers.

1           And also agree that time of use rates  
2           potentially a good start long dwell time locations  
3           for charging, typically home and workplace, where  
4           you are able to see shift in demand. But there is  
5           also potential, as Greenlots noted, for more active  
6           software enabled load management that could provide  
7           a more sophisticated solution as EV adoption scales  
8           to further complement time of use rates moving  
9           forward.

10           I also just want to note that while TOU is  
11           probably a good start for many of these longer  
12           dwell time locations, it may not work or be best  
13           fit for all segments, and I am thinking  
14           specifically of DC fast charging, where customers  
15           are using those stations to receive a quick charge,  
16           and they might not necessarily be price sensitive  
17           given the time that they are -- they are charging.  
18           So other rate design solutions, including those  
19           that potentially better align cost with -- I am  
20           sorry, better align prices with cost causation  
21           principles and potentially limit demand charges, or  
22           better aligned EV charging with those low load  
23           factor rates could be -- could be a potential  
24           solution for DCSC.

25           So all this to say, while we should be looking

1 for ways to do load management for use cases that  
2 are easily able to shift their loads, it's okay  
3 that, and not in all cases we are able to do that,  
4 and the Commission should be flexible in  
5 approaching rate design in a way that that takes  
6 into account the use cases that we are seeing in  
7 the EV charging the system -- or EV charging  
8 system.

9 Thanks.

10 MR. EASTMAN: Thank you.

11 Alliance for Transportation Electrification.

12 MR. JONES: Yeah, this is Phil for ATE.

13 So just a couple of comments. First, should  
14 be no bias or preference of outset about the type  
15 of market development model, as we heard in the  
16 previous segment, there is utility owned and  
17 operate, leasing with a the subscription rate.  
18 There is make-ready with a rebate. And so all of  
19 these have rate design implications. That's number  
20 one. Don't tie -- don't state the preference up  
21 front. The burden will still be on the utility  
22 obviously to justify rate design.

23 Second, cost causation principles still apply  
24 to bond rate principles. This is very complicated,  
25 and it's from what OUC said about public DSC trying

1 to get the rate right for -- for low utilization  
2 high demand, while not subsidizing or allowing too  
3 much transfer on the rate classes based on your  
4 cost of service study is going to be difficult.

5 So there is a variety of options. I would  
6 advise the Commission not to mandate dynamic rates  
7 or realtime rates, or anything, but let the  
8 utilities and vendors kind of -- (inaudible) -- in  
9 a case -- in a case specific. So I think I will  
10 end it there.

11 Thanks.

12 MR. EASTMAN: Okay. Thank you.

13 Who's up next? Drive Electric Florida.

14 MR. ALFORD: Hi, yes. Matt Alford, Drive  
15 Electric Florida.

16 I just want to echo most of the comments  
17 from -- from our members that have gone so far in  
18 avoiding open dockets. I think Drive Electric  
19 Florida has submitted comments that sort of address  
20 some of the questions that have been asked here,  
21 but one thing to point out is that Florida law  
22 currently states that the sale of electricity  
23 through EV charging station does not constitute the  
24 utility sale of electricity and, accordingly,  
25 should not be regulated by the Commission.

1 Charging station owners should be allowed to charge  
2 for electricity on a per kilowatt hour basis by  
3 duration of charging or another rate as they see  
4 fit.

5 And again, sort of outside of the EV specific  
6 or time of use sort of demand limiter facet of this  
7 question, public utilities should be encouraged to  
8 propose EV programs that include a range of  
9 investment approaches and target a range of  
10 different customer segments in end use cases. And  
11 some of those things might include customer  
12 education and outreach, investments and/or  
13 ownership of EV charging infrastructure and then  
14 rebates and incentives for customers. I think that  
15 there are a couple of really good examples out  
16 there nationally, particularly in Minnesota,  
17 Maryland, Colorado, where they have really kind of  
18 taken a portfolio approach to the regulatory  
19 structure for utilities.

20 And thank you.

21 MR. EASTMAN: Thank you.

22 Sierra Club.

23 MR. SHOAFF: Yep, I agree with the comments  
24 from Drive Electric Florida and AEE, that the --  
25 the key here is that, you know, that there are lots

1 of available rate structures depending on the use  
2 case, and we don't think -- at least Sierra Club  
3 doesn't think the Commission prescribe one solution  
4 as a fix all for all use cases. We've cited a  
5 couple of different ways, for example, to structure  
6 time of use rates for residential charging in our  
7 comments. We also addressed three different  
8 solutions for demand charges other states have  
9 implemented with regard to EV fast charging, so we  
10 think that there is ample opportunities here for  
11 rate structures proposed by utilities that are  
12 investing in this EV charging space to find the  
13 right solutions, and to try different solutions and  
14 see what's best suited for that particular use case  
15 in Florida.

16 Thank you.

17 MR. EASTMAN: Thank you.

18 And finally, SACE.

19 MR. CROSS: This is Stan from SACE. And I  
20 agree with comments that have been made by Duke and  
21 FPL, as well as Alliance for Transportation  
22 Electrification, Sierra Club, Greenlots and Drive  
23 Electric Florida.

24 And the only -- the only thing I would add is  
25 just to encourage the Public Service Commission to,

1 as we discussed at the top of this conversation,  
2 keep front of mind that this is a nascent market,  
3 and that the answers will be forthcoming, and we  
4 will get better answers, and we will get them more  
5 quickly if we allow utilities to engage in pilots  
6 that test some of the theories.

7 And even though we can point to different rate  
8 design that has been implemented in other states,  
9 it's all relatively new, and the long-term  
10 implication is still unknown, particularly as we  
11 approach the hockey stick of growth that we have  
12 alluded to earlier, and how that might ultimately  
13 impact any particular rate design and -- and sort  
14 of the consequence to -- to ratepayers.

15 I think also keeping front of mind the broader  
16 grid benefits that may be available through  
17 transportation electrification, and how that can be  
18 maximized and optimized. And also recognize that  
19 in the regulated environment, utilities are  
20 providing electricity to EVs at all times, at the  
21 home as well as in public charging, and whether the  
22 ratio stays long-term, like it is now with  
23 approximately 80 percent of charging being done at  
24 home and the other 20 percent at workplace or in  
25 public, or whether that shifts as longer range,

1 mostly battery electric vehicles hit the market,  
2 you know, is yet to be seen. So also maintaining  
3 kind of flexibility in the thinking as far as  
4 what -- where we are going to ultimately wind up  
5 with this market and, hence, which rate designs are  
6 going to be most applicable.

7 Thank you.

8 MR. EASTMAN: Thank you.

9 And that's the end of that first question.  
10 Does anyone have anything they would like to  
11 interject?

12 MR. CRAWFORD: This is Ben. I want to take  
13 this opportunity -- court reporter, would you like  
14 a break?

15 (Brief recess.)

16 MR. CRAWFORD: All right. I've got 12:35.  
17 Dale, if you want to move on to your next question.

18 MR. EASTMAN: Okay. Great. And after  
19 actually talking with Cayce, I just actually have  
20 the rest of the Section B, which turns out to be  
21 one question.

22 So this is -- this question is going to focus  
23 on what constitutes competitively neutral policies  
24 in the electric vehicle charging marketplace, and  
25 this question is in regards to utilities versus

1 private charging industry charging stations.

2 And so I am going to focus this to both, and I  
3 am going to start with -- I am going to go down the  
4 list, starting with the City of Tallahassee but the  
5 question is: How are you planning to differentiate  
6 your charging stations from one another in order to  
7 attract customers? Or is this ability not really  
8 attainable?

9 City of Tallahassee.

10 MR. COWART: Yes, Ben Cowart, City of  
11 Tallahassee.

12 If I understand your question, it sounds like  
13 a marketing issue. Are you asking how -- how EV --  
14 the person needing the charge would pick our  
15 station over another one, or how would they find  
16 it, or exactly what are you asking for there again?

17 MR. EASTMAN: Yeah. So pretty much if you  
18 look at it from a customer's point of view, if they  
19 are just looking for a charger and they don't have  
20 any taste or preferences for one over another, what  
21 are ways that your -- that your organization is  
22 looking to attract those customers?

23 MR. COWART: All right. So I think maybe OUC  
24 said it earlier, you know, well lit, a safe  
25 environment. You know, maybe even a marquee that

1 shows the equivalent cost of gasoline. So, you  
2 know, but most EV drivers will be savvy enough to  
3 know that; but just something that differentiates  
4 itself from a standard Circle K or Wawa, you know,  
5 that you can come here, charge, maybe it's  
6 designation charging the location, you can shop,  
7 watch a movie, you know, movie theater, but just  
8 anything we can do marketing-wise that draws  
9 attention to ourself.

10 And that's all I got.

11 MR. EASTMAN: Okay. Thank you.

12 Duke, any comments?

13 MR. KING: This is Peter King with Duke  
14 Energy. I don't think we have looked at it like  
15 that. I think we have looked at the deployment  
16 we've done and what we have got in the ground is  
17 really more of a means to spur adoption across the  
18 market, and there are a lot -- there are a lot of  
19 private independent market resources out there for  
20 drivers and others to identify where the stations  
21 are, and look at pricing and all those other  
22 things. Beyond that, like I said, our goal has  
23 been to get some visibility of the stations in  
24 general across the service territory to spur on  
25 more adoption.

1           That's all I have.

2           MR. EASTMAN:   Okay.   Thank you.

3           Florida Power & Light and Gulf.

4           MS. DVARECKAS:   Yes, similar to what Peter  
5           said.   To date, with FPL's pilot program, we have  
6           been focused on ensuring that we are helping to  
7           strive adoption, as well as learn from the way that  
8           we are deploying our stations.   So we are trying to  
9           make sure that we are understanding customer  
10          behavior, techniques, pattern, power quality  
11          issues, how rates impact customers, kind of a host  
12          of issues that our pilot is intended to address.

13          In terms of how we are marketing these  
14          stations, I think, again, it's more about meeting a  
15          market need.   I think at this stage in the market,  
16          the more players and the more robust the market is  
17          the better for everyone.   Ranging value is still a  
18          big issue within the market, and so the more -- the  
19          more charging stations there are the better.   We  
20          would like to reduce that perception that drivers  
21          cannot get from point A to point B if they don't  
22          have a ICE vehicle.

23          However, as -- to echo what the City of  
24          Tallahassee said.   When we do look at how we site  
25          our stations and what we are providing, we look at

1 Best Practices. So in order to meet that market  
2 need, as well as ensure that our customers have a  
3 robust and positive experience with our charging  
4 infrastructure, we focus on making sure that we are  
5 addressing market gaps.

6 So we are not trying to be the gas station  
7 approach, where you have two gas stations set up  
8 across from one another. We are trying to make  
9 sure that we are deploying our infrastructure in  
10 way that meets the gap for our highway public  
11 infrastructure. This ideally is focused on having  
12 infrastructure approximately every 50 miles.

13 We are also focused on ensuring that it is  
14 sited in a safe location with amenities that the  
15 drivers can use, as well as that public access is  
16 available 24/7.

17 And that I think from a marketing perspective,  
18 it's less marketing our systems, our stations over  
19 someone else's, and rather, that drivers are aware  
20 of our locations. And I think there are a number  
21 of apps and websites out there where drivers share  
22 when locations are coming up, as well as, you know,  
23 the status and their experience at those locations.

24 So from our perspective, it's more about EV  
25 drivers having a positive experience, sharing that

1 positive experience with others so that they are  
2 helping for adoptions, and that's how we are, you  
3 know, placing ourselves above another player within  
4 the market.

5 Thank you.

6 MR. EASTMAN: Okay. Thank you.

7 JEA.

8 MR. LEIGH: Yes. JEA agrees to a large extent  
9 with FPL's comments in that we think third-party  
10 providers can probably satisfy the retail  
11 transactions more effectively than a utility  
12 directly. And we recognize there may be gaps in  
13 the retail charger provisioning that a utility may  
14 need to serve on some kind of temporary basis that,  
15 you know, it would be to primarily facilitate the  
16 expansion in the market and ensure a positive  
17 customer experience.

18 Thank you.

19 MR. EASTMAN: OUC.

20 MR. WESTLAKE: Pete Westlake from OUC.

21 All of our charging stations are branded and  
22 one of the things that we are very particular about  
23 is we have service -- service levels for making  
24 sure that problems are -- are handled in a timely  
25 manner so that people can -- can feel comfortable

1           that these sites are always going to be available  
2           for them.

3                       With the new charging hubs that we are  
4           starting to deploy in Orlando, we will ensure the  
5           highest level of safety is considered for lighting  
6           and for all of -- all of that work so that people  
7           can -- can be very comfortable that -- that what we  
8           deploy is -- is -- it looks good and it is well  
9           maintained and it is -- and it's a safe environment  
10          for folks.

11                      And we will be looking at -- at signage on  
12          major roadways coming in, so that people can know  
13          where they can be directed for it. And obviously,  
14          posting to all the apps to make sure that these  
15          sites are available on -- on all of the potential  
16          apps.

17                      That's it for us. Thank you.

18                      MR. TAYLOR: Thank you.

19                      Tampa Electric.

20                      MR. HERNANDEZ: Yes. Kenneth Hernandez here  
21          again with Tampa Electric.

22                      And we would agree with the comments made  
23          earlier by Florida Power & Light with respect to  
24          looking for opportunities to really help facilitate  
25          participation in the market by customers as well as

1 drivers, but also from a pilot perspective, pilot  
2 program perspective, there would be an emphasis on  
3 making sure that we've got sufficient driver access  
4 certainly for the safety considerations, and then  
5 ensuring utilization so that data collection  
6 actually takes place.

7 And that's all. Thank you.

8 MR. EASTMAN: Thank you.

9 Advanced Energy Economy.

10 MR. COWART: Hey, Dale, this is Dave Coward  
11 with City of Tallahassee. Can I just jump in real  
12 quick?

13 MR. EASTMAN: Sure.

14 MR. COWART: One thing I think I think the  
15 Commission needs -- one thing the Commission needs  
16 to remember is that a utility like the City of  
17 Tallahassee has a very small and compact service  
18 area compared to someone that stretches across the  
19 state or multiple counties.

20 Our marketing focus and, you know, needs, they  
21 differ by, you know -- but really, some of that is  
22 the same because you want them all to have a  
23 positive experience, but just a difference in the  
24 territory makes a difference on how you approach  
25 stations, station locations and -- but with the

1 goal of having a good driver experience for  
2 everyone.

3 So just keep that service territory issue in  
4 mind as you guys are contemplating development of  
5 policy or rules.

6 And thank you for letting me interrupt.

7 MR. EASTMAN: Yeah. No problem.

8 So we will jump back to AEE.

9 MR. GARCIA: Thank you. AEE doesn't have any  
10 additional comment at this time.

11 MR. EASTMAN: Thank you.

12 ATE.

13 MR. JONES: Yes. This is Phil Jones for ATE.

14 So at the outset, I would just say I agree  
15 with some of the other comments that, you know,  
16 utility owned infrastructure that's branded is  
17 possible. There are a variety of ways in which the  
18 utility can work with vendors so competitive  
19 neutrality can be achieved in that manner through  
20 the RFP process.

21 I think the RFP process is a good way for the  
22 Commission to oversee, and for the utility to test  
23 the market place to see what both hardware and  
24 software vendors are offering in the marketplace.

25 But again, the make-ready money -- make-ready model

1 is possible. The leasing is possible too.

2 So the other thing the Commission needs to  
3 ensure is nondiscrimination among the various  
4 players, and they can do this through, as I said,  
5 through the RFP process, through regular reports to  
6 the Commission by ensuring that, for example, if  
7 the utility offers public DC fast charging  
8 infrastructure that they price it accordingly, they  
9 don't undercut, but they don't overprice either.  
10 So the gas to electricity price comparison is  
11 really important here, but they should be allowed  
12 some flexibility to price according to, quote, the  
13 market, because the cost of service rates are  
14 probably not going to be possible for a while, at  
15 least on DC fast charging.

16 So those should be updated quarterly, and I  
17 think Duke proposed that in South Carolina, and is  
18 proposing that in North Carolina. So if they -- if  
19 Duke owns and operates infrastructure and prices  
20 it, they should reflect, quote, the market price.

21 And then finally, technology types. The  
22 Commission should not discriminate between various  
23 types of charging coming in. They should allow the  
24 market to develop wireless induction charging, it  
25 may or may not come for the electric buses. It's

1 case specific pantagraph, this overhead pantagraph  
2 charging, and so the rate design of a program  
3 offered by the utility or vendor will change  
4 according to that.

5 So I think through those sort of metrics and  
6 reports, the Commission can ensure the statutory  
7 mandate of competitive neutrality, but don't -- but  
8 again, don't -- don't come in with a preference at  
9 the outset on the ownership model.

10 MR. EASTMAN: Thank you.

11 ChargePoint.

12 MR. WILSON: Yeah. Thank you for the  
13 question.

14 So I think your question initially talk about  
15 competitive -- competing for the ability of a  
16 driver -- or to get the business of an EV driver.  
17 As a provider of EV charging station hardware and  
18 software solutions, for ChargePoint and others in  
19 the industry, a lot of that competition is for a  
20 site host, to host those charging stations. And so  
21 ChargePoint's comments in the docket focused in on  
22 competition for the site host. And the site host  
23 can be a couple of different entities, right? It  
24 can be a private property owner. It could be a  
25 third party owner/operator of the charging station

1           that's actually just leasing the land, so to speak,  
2           for the charging services. And in that instance,  
3           that could be a private entity. It could also be a  
4           utility potentially.

5           But in the area for competition for site host  
6           of where these charging stations are located, as  
7           well as the products and services that the site  
8           hosts are utilizing, ChargePoint offered, I think,  
9           three key principles to ensure that competitive  
10          neutrality.

11          The first is providing site host some level of  
12          choice in the charging station hardware that is  
13          located on their property. As has been noted, that  
14          has the ability to offer some consistency both  
15          across municipal, state, regional jurisdictions.  
16          And site host, we think it's important for them to  
17          have skin in the game. That makes them want to put  
18          the charging stations out front. It makes them  
19          want to create a really good experience for those  
20          charging customers.

21          The second is site host choice in pricing. We  
22          think it's important that site hosts have the  
23          ability to be the customer of record in any  
24          programs, and pay that utility bill and potentially  
25          gain any upside from EV charging revenue.

1           We think it's fine if there are other pricing  
2 mechanisms that are available to customers, or to  
3 site hosts, be it via the utility or the via  
4 third-party, but we do think it's important that  
5 the site hosts, you know, have some sort of ability  
6 to control that point of the competitive  
7 atmosphere.

8           And finally, we think it's important for the  
9 Commission to look at programs that the utilities  
10 may offer in advance of that offering. And I don't  
11 want -- I want to be cautious and say that this is  
12 a new process, this is a new thing the Commission  
13 is considering, and so anything that's previously  
14 filed, previously contested, I don't think this  
15 applies to. But I think going forward, as the  
16 market expands, it's important for those PSC -- or  
17 the Public Service Commission to continuously hear  
18 from those site hosts about if utility plans are,  
19 in fact, competitively neutral in allowing them the  
20 access to the program that is necessary for that  
21 level playing field.

22           Thank you.

23           MR. EASTMAN: Thank you.

24           All right. Drive Electric Florida.

25           MR. ALFORD: I apologize. I had myself on

1           mute there.

2                   MR. EASTMAN: No worries.

3                   MR. ALFORD: Yeah, I certainly think that a  
4           lot of our members have done a very adequate job  
5           addressing this. Again, we have gone on record in  
6           some open dockets in terms of the role that the  
7           utility can play, avoiding that, but kind of just  
8           distilled to its essence, if the number of  
9           participants and companies making investment in  
10          EVSE increases so that the relative value of their  
11          individual asset, so for that reason, Drive  
12          Electric Florida is generally supportive of all  
13          considered investments, you know, the -- the  
14          utilities have taken a few different approaches to  
15          this growth, just very quickly, facilitators and  
16          partners, to customers, state managed charging  
17          programs, they provided infrastructure and owned it  
18          in some cases. So I think that the high level of  
19          competitively neutral approach shouldn't prohibit  
20          the utility investment in ownership of charging  
21          stations, or favor, you know, private party  
22          investment and ownership. So excluding one or the  
23          other would be anticompetitive. So allowing for a  
24          mix of programs, actors, investments, approaches  
25          and ownership models with appropriate regulatory

1           guide rails is probably the best way to support the  
2           diversity of buyers and sellers of products and  
3           services that collectively comprise the EV charging  
4           marketplace.

5           So thank you.

6           MR. EASTMAN: Thank you.

7           EVgo, if you are still with us. No, I guess  
8           not.

9           Okay. Greenlots.

10          MR. COHEN: Thanks. Dale, would you mind  
11          repeating the question? I just want to make sure I  
12          am addressing the specific question at hand.

13          MR. EASTMAN: Sure. No problem.

14          How are you planning to differentiate your  
15          charging stations from one another in order to  
16          attract customers? Or is that ability not really  
17          attainable?

18          MR. COHEN: Okay. So let me offer -- let me  
19          offer a couple of -- a couple of principles or  
20          thoughts on this, and let me first say that, just  
21          by way of explanation or introduction to Greenlots,  
22          for those of you who may not be familiar with us.  
23          As company, we are primarily a software and  
24          services company. Generally speaking, we do not  
25          own and operate charging stations. So, I mean, the

1 question is directed more, I think, towards an  
2 owner/operator, whereas Greenlots, we typically  
3 sell our products to end users, whether it's  
4 utilities or office buildings or governments.

5 And so that said, I think there are a few key  
6 principles when it comes to attracting customers.  
7 So one of them, I think, which -- and this has been  
8 mentioned before, but first and foremost, make sure  
9 the stations are operable. Make sure that they are  
10 in good working order. Make sure they are well  
11 maintained. Make sure they are not out of service  
12 or just left stranded because of a lack of a  
13 service plan, or anything like that.

14 Number two, make sure that the charging  
15 experience and the pricing is consistent, as I have  
16 said before, no unwelcome surprises is a sure way  
17 to leave a bad taste in the driver's mouth.

18 And as Phil was mentioning, make sure that the  
19 pricing charged supports broader goals. So on the  
20 one hand, you want to provide savings relative to  
21 other tool types, because that is one of the, you  
22 know, the main motivators for people to drive  
23 electric in the first place, but you also want to  
24 set a price that supports the growth of the  
25 charging market, and not undercut the market price

1 range, so to speak. And also you want to avoid  
2 creating an expectation of unrealistically low  
3 prices for the future.

4 One of the challenges with the whole pricing  
5 is that, at least at this stage in the -- in the  
6 market, this stage, EV adoption -- the economics  
7 really are challenging at best, if we are talking  
8 about a return on investment, you know, just  
9 focused on a specific charging asset. And so  
10 allowing too much site host flexibility to set  
11 their own pricing can undercut these other goals  
12 we're talking about, fuel savings, but typically  
13 savings relative to other fuels. And it also  
14 points out one of, like, the key issues in terms of  
15 how to view this whole question around competitive  
16 neutrality, where, when you are talking about a  
17 utility provided service, the utility is the market  
18 participant. It's not the site host.

19 Site hosts have full customer choice whether  
20 or not to participate in a utility program, or  
21 whether they want do their own thing. But if we  
22 are talking about rate payer dollars and utility  
23 provided service, the utility is that market  
24 participant. The utility is where the focus should  
25 be in terms of designing the program, setting the

1 pricing with regulatory approval, procuring the  
2 hardware, procuring the software, you know, all --  
3 that whole bucket that relates to EV charging.

4 And bringing us back to the pricing, that's  
5 one of the reasons why utilities are really well  
6 positioned, particularly at this stage in the  
7 market, because a utility is able to look at that  
8 charging asset, not just how do I make a return on  
9 the cost to install and, you know, operate this  
10 fast charger just in a vacuum, you know, the way a  
11 stand-alone site host might look at it. The  
12 utility is able to look more broadly at the value  
13 overall to the grid and to ratepayers of the EPE  
14 code system.

15 So -- so that's point two, the charging and  
16 pricing consistency piece. And then the third  
17 piece is just to market the heck out of the  
18 charging station. As I think Jill and others  
19 mentioned, there are a number of free apps. If you  
20 have an EV, you can find the stations pretty  
21 easily, and there is a number of different  
22 companies that provide the service.

23 The real issue is not -- not so much  
24 attracting a customer that's an existing EV driver  
25 that's in the area. It's really creating more

1 customers, and marketing the heck out of these  
2 stations is a really important way to do it.  
3 Ribbon cutting with local officials. Get local  
4 press coverage. Do emails to drivers in the area.  
5 Do just hard mailings, you know, hard copy  
6 mailings.

7 And again, there is a number of actors who can  
8 do all of that, but when you look at the bulk of  
9 charging experience consistency, pricing  
10 consistency, marketing, maintaining the stations in  
11 good working order, it's like -- I mean, utilities  
12 are certainly not the only actors who can do that,  
13 but really well positioned to do all of that.

14 Thank you.

15 MR. EASTMAN: Thank you.

16 Tesla.

17 MR. BEAN: Thanks.

18 We've built a very extensive network for DC  
19 fast charging for our customers, and we've tried to  
20 make it as convenient and seamless as possible, and  
21 that's always drives us, and the best customer  
22 experience possible. So we are seeking locations  
23 that are convenient where people are driving, that  
24 have good amenities, and making sure that service  
25 is reliable and fast.

1           In terms of marketing stations, we've tried to  
2           take as much thinking out of it as possible by  
3           integrating the charging locations into the vehicle  
4           user interface so that while people are driving,  
5           they see where the stations are, what the realtime  
6           availability of the stalls are, what the pricing  
7           is, what the amenities are; and that if they are  
8           going on a trip, that they can just plug in a  
9           destination and the car will tell them and direct  
10          them to a charging station if they need it.

11           So we think that is -- there is a number of  
12          different ways to kind of bolster the customer  
13          experience, and I think that should be left to the  
14          companies that are owning and operating or  
15          investing in the charging stations. But in  
16          general, for kind of Commission or state sponsored  
17          charging networks, I think the goal, like we said  
18          in our comments, is not just -- trying not to put a  
19          thumb on the scale and trying to be as competitive  
20          in equal terms as possible so that people can  
21          compete on price and compete on service, because  
22          otherwise, you could have some unintended  
23          consequences, or higher costs, or slower time lines  
24          for deployment.

25           So some of the topics to think about are

1 treatment of participation and line extension  
2 policies, making sure everyone is on the same -- or  
3 have the same options as rate designs; not  
4 providing preferential treatment or information  
5 that the competitive marketplace might not have, so  
6 this could be like hosting capacity, or information  
7 about where other charging operators are going.

8 And then I forgot who mentioned it previously,  
9 but avoiding the kind of exclusivity arrangements  
10 with site hosts. So although 99.9 percent of all  
11 DC fast charging that happens on Teslas is on the  
12 Tesla network, Tesla Supercharger network. We  
13 don't sign exclusively the arrangements with site  
14 hosts. We think that's just bad policy. And we do  
15 co-locate with a number of other charging operators  
16 and utilities that are on the line here, and that's  
17 a good model. So just basically trying to make  
18 sure that everyone is on equal footing.

19 Thanks.

20 MR. EASTMAN: Thank you.

21 And Sierra Club.

22 MR. SHOAFF: Thanks. Sierra Club doesn't have  
23 any particular response to this question.

24 MR. EASTMAN: Thank you.

25 And finally, SACE.

1           MR. CROSS: Thank you. This is Stan from  
2           SACE.

3           And, you know what -- what I will add is, just  
4           stepping back a level, is that collectively  
5           utilities have reached to 100 percent of Florida's  
6           residents, and if we are to realize the benefit of  
7           electrification as it pertains to ratepayers, and  
8           that is downward pressure on rates for all  
9           ratepayers, then we need to get mass market  
10          adoption of electric vehicles. And utilities are  
11          well positioned to engage in education and outreach  
12          across all of Florida's demographic segments.

13          And SACE, from an advocacy perspective,  
14          believes that it is prudent for utilities to be  
15          investing in education and outreach, and for the  
16          Commission to be encouraging and supporting  
17          education and outreach as part of utility  
18          transportation electrification filings.

19          And I am not just talking about where the  
20          stations are, but rather education and outreach  
21          that communicates the benefits of transportation  
22          electrification clearly, and in a compelling way to  
23          various market segments so that the customers that  
24          aren't yet there, that Josh from Greenlots was  
25          referring to, are continually showing up at the

1 stations in new and larger numbers.

2 Thank you.

3 MR. EASTMAN: Thank you.

4 I have two questions left.

5 The first one is going to be can -- this is  
6 going to be targeted for everyone, so I am just  
7 going to go down the list again: Can the rate  
8 basing give utilities a competitive advantage?

9 I will start with the City of Tallahassee.

10 MR. COWART: Ben Cowart, City of Tallahassee,  
11 and I am going to pass on that.

12 MR. EASTMAN: Duke Energy. Duke, are you  
13 still with us? No? Okay.

14 FPL and Gulf.

15 MS. DVARECKAS: Yes. You know, I would say  
16 that, you know, as the utility, we are obligated to  
17 act in a way that's best for our customers, and so  
18 I think that those are the principles that we would  
19 uphold in the deploying infrastructure and  
20 establishing any type of ongoing infrastructure  
21 ownership plan. And so I think given the fact that  
22 we serve all, you know, all customers within our  
23 territory, including EV drivers as well as, you  
24 know, a number of the parties on this call, and  
25 vendors, and service providers, and site hosts are

1 all considered our customers, you know, as the  
2 utility, I think we view our actions as, you know,  
3 ensuring that we are acting in the best interest of  
4 all of those players.

5 So, you know, I would say that I don't think  
6 it's necessarily a competitive advantage. I think  
7 that, you know, rate basing infrastructure allows  
8 the utility to provide benefits and address issues  
9 that the competitive market perhaps cannot address,  
10 which, in general, it helps for the market overall,  
11 and should be viewed as a benefit and not a  
12 detractor from how we participate in the market.

13 Thank you.

14 MR. EASTMAN: JEA.

15 MR. LEIGH: JEA is a community owned utility,  
16 and JEA -- and I will prefer the decision regarding  
17 how infrastructure is recovered be left at a local  
18 level, and JEA chooses not to -- (inaudible) -- to  
19 the question.

20 Thank you.

21 MR. EASTMAN: OUC.

22 MR. WESTLAKE: Can you please repeat the  
23 question?

24 MR. EASTMAN: Can rate basing give utilities a  
25 competitive advantage?

1           MR. WESTLAKE: I am actually going to pass on  
2           that one.

3           Thank you.

4           MR. EASTMAN: Tampa Electric.

5           MR. HERNANDEZ: Yes. Kenneth Hernandez again  
6           for Tampa Electric. We have no comment currently  
7           on that.

8           Thank you.

9           MR. EASTMAN: Advanced Energy Economy.

10          MR. GARCIA: Thank you. I guess we will just  
11          note that this question is a bit vague, and it  
12          really depends on what you all are talking about  
13          when you are talking about rate basing. If we are  
14          talking about investments in make-ready and  
15          traditional utility infrastructure, either in front  
16          of or behind the meter, conduit, wiring, you know,  
17          transformer upgrades, et cetera, you know, all of  
18          those things -- many of those things are typically  
19          accounted for in traditional utility distribution  
20          system investments, so I don't think there is any  
21          sort of incremental or inherent advantage to  
22          allowing utilities to put into rate base what they  
23          have traditionally done for other end uses, or  
24          accommodating other loads.

25          If we are talking about rate basing of

1 charging stations or charging infrastructure,  
2 again, that has to be done on a case-by-case basis.  
3 But again, if the Commission finds that that  
4 approach will, you know, ultimately expand the  
5 market for EV charging services, provide consumer  
6 benefit -- or customer benefits in the form of  
7 increased access to trans -- electricity as a  
8 transportation fuel, encourage offbeat charging in  
9 a manner that benefits all utility customers  
10 through downward pressure on rates, you know, there  
11 really needs to be a comprehensive, you know,  
12 assessment of whether that rate basing is, again,  
13 you know, in the public interest and consistent  
14 with, you know, Commission practices.

15 So I -- I think it's hard to boil this down  
16 into a narrow concrete answer, and it merits  
17 further -- merits further exploration.

18 Thank you.

19 MR. EASTMAN: Thank you.

20 Alliance for Transportation Electrification.

21 MR. JONES: Yes, Phil Jones for ATE.

22 The basic answer, Dale, is no, this does not  
23 provide the utility with any competitive advantage,  
24 and the reason is as follows, as I stated before,  
25 the utility investment, especially in make-ready

1 from the transformer to the sub where the equipment  
2 sits is a foundation investment. It is going to  
3 become part of the distribution grid in the future  
4 as it evolves for by directional flows, energy  
5 storage and all sorts of applications as a  
6 response.

7 So increasingly, what we are seeing around the  
8 country is both legislatures, commissions are  
9 regarding investments in EV infrastructure as a  
10 plant asset as defined in the FASB and the other  
11 accounting practices and rules that commissions  
12 follow. And I would encourage -- so I would  
13 encourage the Commission to look at it that way.  
14 It's not a competitive advantage. It's a -- it's  
15 an investment in foundational infrastructure, and  
16 it should be included either in a regulatory asset,  
17 which is the preferred treatment that we are seeing  
18 in many jurisdictions around the country; but if  
19 you don't like a regulatory asset or tracker that's  
20 trued up later in rate case with a prudence review,  
21 you can use other techniques as well.

22 But the utility is entitled to a return on  
23 that investment, not just operating, but on  
24 capital, and -- and you should regard it as a  
25 normal increasingly, if you get to 1.4 million

1 vehicles in Florida by 2030, there is going to be  
2 along this infrastructure grid that benefit all  
3 ratepayers, and so you should regard it  
4 accordingly. So no competitive -- no competitive  
5 advantage there.

6 That's it.

7 MR. HINTON: Dale, this is Cayce. Let me jump  
8 in real quick just to clarify the question a little  
9 bit, maybe save some time on some of the responses.

10 We think the question is specifically geared  
11 toward rate basing investment and charging stations  
12 themselves, that -- if that is considered to be a  
13 competitive marketplace for charging electric  
14 vehicles. We are not talking about building out or  
15 make-ready the distribution system. We are talking  
16 about the charging station itself, is the rate  
17 adequate, does that provide a competitive  
18 advantage?

19 Thank you.

20 MR. JONES: Could I respond on that quickly  
21 then? This is Phil Jones for ATE.

22 So in answer to that question -- in answer to  
23 that question, the capitalization of the rebates,  
24 if you use a make-ready and rebate model, that is a  
25 legitimate question for the Commission to ask. So

1           in Michigan and Minnesota, and other states now,  
2           the utilities have proposed, and the commissions  
3           have generally had a capitalization treatment for  
4           rebate, and the reasoning is as follows: This is a  
5           transformational period, it's an asset. The EVSE,  
6           the equipment that sits on the charging station, as  
7           you call it, really should be considered part of  
8           the EV ecosystem. The money flows to a different  
9           provider. It flows to the EVSP, the EV station  
10          provider, but many commissions are regarding that  
11          as a part of this transformational process, and  
12          therefore, since it's part of a utility make-ready  
13          and rebate program, we believe the equipment itself  
14          should be capitalized.

15                 That's it.

16                 MR. EASTMAN: Thank you.

17                 ChargePoint, with regard to the clarification  
18          on that question.

19                 MR. WILSON: Yeah, thank you.

20                 I think for -- what ChargePoint believes is  
21          that utility investment in electric vehicle  
22          charging station and rate basing those can be  
23          structured in a way that does not impact -- can be  
24          done in a competitively neutral way.

25                 And I won't reiterate, but I will point back

1 to ChargePoint's comment in the docket and we view  
2 the structure of those comments creating some  
3 optionality for the site host, as well as  
4 understanding the full suite of programs in  
5 addition to the charging stations themselves, where  
6 utilities may be making investment to -- to be  
7 useful in understanding if those investments could  
8 create some competitive issues. In instances where  
9 we believe that the competitive issues are  
10 nonexistent, ChargePoint supports utilities'  
11 ability to rate base and earn a capital return on  
12 rebates, on make-ready, and on the charging  
13 stations themselves; again, assuming those  
14 competitive issues are cleared.

15 MR. EASTMAN: Thank you.

16 Drive Electric Florida.

17 MR. ALFORD: Yeah. Matt Alford, Drive  
18 Electric Florida.

19 Those are two hard acts to follow, ChargePoint  
20 and ATE. You know, I think that -- and Cayce,  
21 thank you for that clarification, because I think  
22 that it's really going to come down to how those  
23 programs are designed, you know, if it's done well,  
24 investments by the utility and infrastructure, you  
25 know, a portfolio approach that addresses rural and

1 low to moderate income communities that may not  
2 attract private capital or other investments.  
3 Whenever it's done, it removes barriers to  
4 adoption, so you are spurring development in the  
5 market and the relative value of everyone's assets  
6 are greater.

7 And really, whenever you think about the  
8 geography in the state of Florida, many communities  
9 don't see themselves as a part of this  
10 conversation, and utilities are extremely well  
11 positioned to alleviate that.

12 So -- and, again, I think that I would be  
13 remiss if I didn't once more point out, right, that  
14 the overall benefit to the ratepayers might justify  
15 some of these investments in a competitive neutral  
16 way. It's just going to depend on how the programs  
17 are designed. And if you are talking about  
18 improving air quality and health outcomes, and  
19 serving the general body of ratepayers, it's, you  
20 know, it's going to be an important thing to drive  
21 adoption from Floridians.

22 So my short answer is no, but with an  
23 asterisk. It will depend on how the program is  
24 designed.

25 Thank you.

1 MR. EASTMAN: Thank you.

2 I am sorry, I was looking at the screen.

3 EVgo I believe is up next, but I guess they  
4 are still not with us.

5 Okay, Greenlots.

6 MR. COHEN: Dale, I am going to ask you one  
7 more time, if you don't mind, to sort of repeat the  
8 question.

9 MR. EASTMAN: No problem.

10 It is: How can rate basing give utilities a  
11 competitive advantage with regards to charging  
12 station infrastructure?

13 MR. COHEN: Got it.

14 So it's -- it's a really -- that is a really  
15 important question, but I am going to respectfully  
16 push back a little bit on the premise of the  
17 question, because if we are talking about  
18 competition for the competitiveness of the EV  
19 charging market, the notion that there is a  
20 competitive EV charging market today, if by  
21 competitive, one means profitable, is one that I  
22 would -- I would disagree with. I think there is a  
23 number of private actors in this market, including  
24 owner/operators of public charging stations. It's  
25 very encouraging that there is private capital

1           flowing into this market, but all you have to do is  
2           look at some publicly available documents to see  
3           that, as a business model, the profitability case  
4           for deploying, owning and operating charging  
5           stations, public charging stations, is yet to be  
6           achieved. We are all hoping we get to that point  
7           sooner rather than later, but we are not there yet.

8                        So -- so regulated utilities precisely,  
9           because they can earn a rate of return, are  
10          uniquely positioned to help deploy and own and  
11          operate charging stations specific -- for many  
12          reasons, but specifically because of the  
13          challenging economics of it.

14                      And I am not going to repeat what I said  
15          earlier, but the notion that utilities are somehow  
16          competing for a share of the profits on an asset by  
17          asset basis is one that I would -- I would  
18          question.

19                      So, you know, maybe in five years, maybe in 10  
20          years, who knows when that equation will change a  
21          bit, but I think it -- and it's obviously an  
22          important question about does rate base offer  
23          utilities a competitive advantage? But I would  
24          encourage the Commission and staff to be thinking  
25          about that question within the context of the state

1 of the charging market today from a profitability  
2 standpoint.

3 Thank you.

4 MR. EASTMAN: Thank you.

5 Tesla.

6 MR. BEAN: Thank you.

7 In terms of utility ownership, I would say not  
8 necessarily, but the question really hinges on  
9 whether that cost of the rate based equipment is  
10 reflected in the end use for the driver.

11 So when we think about pricing on our network,  
12 and I think some other charging operators agree,  
13 what we are trying to do is recover the cost of  
14 operation, so that's going to be electricity, the  
15 maintenance, any site costs, as well as recovering  
16 the fixed cost of the investment and installation.

17 So if the pricing doesn't reflect the CAPEX,  
18 or the rate base portion for to the end use driver,  
19 that's not necessarily because it's in rate base,  
20 it's because it's not being reflected to the end  
21 use driver, that that could lead to a competitive  
22 advantage but not having to reflect that price.

23 So I think with anything else in economics,  
24 it's just making sure that all of the costs are  
25 reflected in end use to the customer is the best

1 way to maintain the kind of balanced competitive  
2 level playing field.

3 Thanks.

4 MR. EASTMAN: Thank you.

5 All right. Last question. Again, I am just  
6 going to go down the list for everyone's comments  
7 on it.

8 The question is: Should there be any  
9 limitations to utilities' EV charging station  
10 ownership?

11 MR. CROSS: This is Stan Cross from Southern  
12 Alliance for Clean Energy, just letting you know  
13 that Sierra Club and SACE did not yet respond to  
14 the last question.

15 MR. EASTMAN: Oh, I am sorry. I'm sorry.  
16 Excuse me. I jumped a head. I am sorry, Sierra  
17 Club and SACE.

18 Sierra Club, can I get your --

19 MR. SHOAFF: Sure. This is Nathaniel. I am  
20 happy to answer on behalf of Sierra Club.

21 I think we have heard today a broad consensus  
22 that the utilities have a role to play in this  
23 space. And from Sierra Club's standpoint, it's  
24 something that we noted in our comments, is that  
25 some of the other states have done on this --

1 (inaudible) -- analysis of this very question into  
2 their evaluations of utility proposals. And so  
3 we've seen states that have some sort of  
4 competitive test. Usually something like is the  
5 program reasonably expected to stimulate innovation  
6 or competition rather than stifle it?

7 In our view, well-designed programs are  
8 usually going to meet that test, and that folding  
9 that analysis into consideration of utility  
10 proposals is worthwhile. And if this commission  
11 decides that -- one of the things we could suggest  
12 the Commission do is to encourage utilities to put  
13 forward transportation electrification proposals,  
14 one of the things that the Commission could do is  
15 to specifically direct utilities to address this  
16 question in their proposal. Explain why this  
17 utility investment, in whatever the space is, but  
18 specifically to own a charging infrastructure isn't  
19 going to stifle the competition.

20 Thank you.

21 MR. EASTMAN: All right. Thank you. Sorry  
22 about that confusion again, I was typing -- I was  
23 typing next to the wrong name, so sorry about that,  
24 SACE and Sierra Club.

25 SACE.

1           MR. CROSS: No problem at all. This is Stan  
2           from SACE.

3           You know, I think building off of AEE and  
4           Greenlots' and Sierra Club's comments, SACE  
5           believes that utilities ought to be able to rate  
6           base ownership of charging assets at this nascent  
7           time in the market when they can justify doing so.  
8           And there -- as we have been talking about, there  
9           are lots of use cases for utilities to be engaging  
10          in, but there are some immediate use cases that are  
11          in need of attention that utilities are uniquely  
12          positioned to support. They include charging  
13          infrastructure in low to moderate income  
14          communities. They include charging infrastructure  
15          in rural communities. They include filling the  
16          gaps along corridor charging, supporting the need  
17          on charging for evacuation and resilience planning.  
18          There are many use cases where the utility is  
19          uniquely positioned to provide services that the  
20          current market may not be able to meet.

21          And to Greenlots' point, you know, when  
22          considering whether or not rate basing is  
23          appropriate in a given context in a given filing,  
24          that question should be being asked in the context  
25          of the current market reality, not in the absence

1 of that reality.

2 And until we have a market that shows  
3 profitability. Until we have a sufficient number  
4 of players who can install infrastructure, and  
5 ensure the long-term operation and service of that  
6 infrastructure, then there is a need for, you know,  
7 a reliable party like a utility to step in and play  
8 a role.

9 So we support rate basing of utilities'  
10 ownership investments when, you know, it is meeting  
11 a particular use case in a particular moment that  
12 helps drive the market forward so that everybody  
13 can benefit.

14 Thank you.

15 MR. EASTMAN: Thank you.

16 All right. So now to the last question.

17 Sorry about that, everyone.

18 All right. So for the last question again,  
19 like I said, I am going to go down the list:  
20 Should there be any limitations to utilities' EV  
21 charging station ownership?

22 I am going to start with City of Tallahassee.

23 MR. COWART: Ben Cowart, City of Tallahassee.

24 And I am going to pass on that.

25 Thank you.

1 MR. EASTMAN: Duke.

2 MR. KING: Hey, this is Peter King with Duke.

3 I apologize on the last question, I had a situation  
4 I had to attend to and I had to step away.

5 So a couple of things. On the rate base piece  
6 of it, I would agree on the comments prior about it  
7 being within context specific to the case itself,  
8 from a broad perspective it's hard to say. So that  
9 would be my answer on the rate.

10 The second question again, could you repeat  
11 that again, please?

12 MR. EASTMAN: Sure. It is: Should there be  
13 any limitations to utilities' EV charging station  
14 ownership?

15 MR. KING: Right. I am not sure we know the  
16 answer to that yet. I think that's what we are  
17 trying to prove out with our pilots as a utility is  
18 trying to prove out with their pilots, and I think  
19 that's what the importance of this work is, and  
20 hopefully the Commission will continue to explore  
21 and allow for the utilities to -- to get in the  
22 marketplace and figure out what works well for  
23 everybody involved.

24 We have found, just in a couple of years with  
25 our program deployed, we have given covered

1 benefits we didn't know were going to be there, and  
2 some of those benefits -- and that's, you know,  
3 part of it you just don't know it.

4 And to Ben's point, you know, a lot of this  
5 will depend on the type of utility an the service  
6 territory that the utility is working in. We are  
7 very spread out across the state of Florida. And  
8 what we have found is a big benefit to our  
9 deployments have been the ability to serve under--  
10 what we would call underserved areas for charging  
11 infrastructure. And then -- and those areas may be  
12 rural areas.

13 And then the other part that has followed up  
14 is a huge benefit, we think, are -- is the ability  
15 to connect the very, very important secondary  
16 corridors in the state, which are if 1,000 people  
17 moving here today, there has been talk about  
18 evacuation routes. The secondary corridor, if you  
19 talk to the people in these communities, they will  
20 tell you how vital these are to get out of the  
21 state. And we have been able to, based on where we  
22 serve, connect some important key secondary  
23 corridors.

24 So that's another benefit that has bottled up,  
25 and we will continue to see, I think, other

1           benefits, some going into it we thought would be a  
2           benefit and have been, for example, have been the  
3           utilities -- we have been able to take care of  
4           these units. We -- we respond quickly, and we keep  
5           the units -- it's important to us to maintain what  
6           we call a healthy network, because at the end, that  
7           is just what drives EV adoption, a better  
8           experience across the board with all customers in  
9           the marketplace.

10                    So, yeah, we think there certainly is, based  
11           on some of the really key methods we have seen with  
12           our deployment, definitely a role for the utility.  
13           And then the, I think, big role for utilities is  
14           hopefully, I kind of liken it to energy efficiency,  
15           where we -- we did the rebates for energy  
16           efficiency measures to transform the market, and we  
17           look at it like that. We like to see all kinds of  
18           EV investment come into these other areas that we  
19           are serving. And we are hoping that what we have  
20           deployed and started as foundational infrastructure  
21           will attract these other -- all market players, and  
22           just build out the entirety of the structure, you  
23           know, for all customers, and for everybody -- the  
24           benefit of all the folks and ratepayers in Florida.

25                    That's all I have.

1 MR. EASTMAN: Thank you.

2 FPL and Gulf.

3 MS. DVARECKAS: Thank you. That was very well  
4 put by Peter.

5 I would like to reiterate that, you know, we  
6 feel that utilities are very well positioned to  
7 address infrastructure needs within the market in a  
8 way that not only improves reliability, the use of  
9 the grid puts downward pressure on rates, addresses  
10 gas, responds to needs within the market that the  
11 competitive market cannot address.

12 Other areas -- a previous point that, you  
13 know, we do feel that the current regulatory  
14 structure is sufficient to address those needs, and  
15 that the PSC should continue to be empowered to  
16 oversee and implement transportation  
17 electrification plans.

18 What I would like to touch upon there is that  
19 we do believe that this should be done on a  
20 case-by-case basis. We think it's important that  
21 any policy not be overly prescriptive and have the  
22 unintended consequences of impeding market  
23 growth -- (inaudible) -- has a light touch touched  
24 regulation that I mentioned previously.

25 On that note, as Peter mentioned off above, it

1           totally -- it is early within the market. We are  
2           still in the pilot phase. We are still learning  
3           about EV infrastructure and what the utility's role  
4           should be, and we are still recognizing the  
5           benefits that utility involvement can offer. I  
6           think putting any limitations up front, as I  
7           mentioned, could impede market growth, and I think  
8           it may be too soon.

9                     And then, I think, to echo Josh from  
10           Greenlots' comment on, you know, the competitive  
11           market, I would -- you know, I would comment that  
12           his point where the market is still standing itself  
13           up, I think any, you know, any restriction could  
14           be -- could be detrimental to the growth of the  
15           market.

16                     So while I am not saying that, you know,  
17           utilities should not be regulated. I believe that  
18           that is the Commission's role here, and that it  
19           should really come down to what is in the public's  
20           best interest. And that is something that we hold  
21           ourselves to, you know, as a regulated utility, in  
22           ensuring that the needs of all of our customers are  
23           met.

24                     Thank you.

25                     MR. EASTMAN: Thank you.

1           And, JEA.

2           MR. LEIGH: Yes. Like my previous colleague  
3           said -- and I guess just backing up. Any questions  
4           typically framed "are there any", the answer is  
5           generally probably or yes.

6           With that said, though, the evolution of this  
7           market is really so immature at this point, and,  
8           you know, particularly being a muni with so many  
9           low and moderate income customers making up our  
10          customer base, it really does get problematic to  
11          start layering on restrictions before the market  
12          starts evolving and some of these questions become  
13          clearer.

14          So I think at this point, it is -- it is  
15          definitely too early to start imposing restrictions  
16          when we don't know the cause and effect that it may  
17          have downstream.

18          Thank you.

19          MR. EASTMAN: Thank you.

20          OUC.

21          MR. WESTLAKE: Pete Westlake with OUC.

22          I think we would think that in the short-term,  
23          imposing any requirements would not make sense.  
24          Utilities are closest to their customer needs. We  
25          have the capability to best position and balance

1 items like load, maintenance and additional  
2 technology to best manage both the cost to operate  
3 and, therefore, the cost to our customer. We can  
4 look at the entire benefit for an EV.

5 We capture the revenue at the home, at the  
6 workplace and also at the high speed charging  
7 station, so we can take a look at the entire  
8 revenue case where -- where -- so that we can  
9 balance it and make sure that those investments  
10 are -- are producing the results that we are  
11 looking for, and to what I would really consider a  
12 loss leader of the high speed charging hubs as, I  
13 think, has mentioned before are really not money  
14 makers.

15 This may, of course, change as the opportunity  
16 and growth of electric vehicles substantiate the  
17 need for expansion in that area. So I wouldn't say  
18 this is a closed answer. This is the answer for  
19 today.

20 Thank you.

21 MR. EASTMAN: Thank you.

22 Tampa Electric.

23 MR. HERNANDEZ: Yes, Kenneth Hernandez with  
24 Tampa Electric again.

25 So we would echo some of the comments that you

1           have already heard, and particularly those from  
2           FPL, and we will just sort of restate some of what  
3           you have heard to say that active utility  
4           participation in the market will ultimately help to  
5           inform the need for any potential limitations, but  
6           also identify any of the opportunities for  
7           utilities to participate in the market.

8                     That is all. Thank you.

9                     MR. EASTMAN: Thank you.

10                    Advanced Energy Economy.

11                    MR. GARCIA: Thank you. This is Noah Garcia  
12                    again.

13                    And I think in answering this question, we  
14                    certainly agree with the points raised by Sierra  
15                    Club and SACE in the previous question,  
16                    particularly the point that utility ownership of  
17                    charging infrastructure should be permissible,  
18                    provided that utilities are able to make a  
19                    reasonable case for why that investment is needed  
20                    and how it's serving a market need.

21                    And just to round out our comments, you know,  
22                    we will reiterate that, you know, regardless of the  
23                    role, utilities are going to be essential partners  
24                    in supporting the growth of the EV charging  
25                    services market. And rather than cycling this

1 market, utility programs can offer new avenues for  
2 competition among EV charging service providers,  
3 establish markets for EV charging services where  
4 they previously did not exist, and potentially  
5 extend a greater choice to all customers and EV  
6 charging services.

7 And with this point in mind, I think we would  
8 want to urge the Commission to take a flexible  
9 approach to EV charging infrastructure deployment  
10 models in some particularly underserved for market  
11 segments, you know, for example, multi-unit  
12 dwellings or highway corridor fast charging utility  
13 ownership may be justified and even encouraged by  
14 some EV charging service providers as a means to  
15 increase access to charging in these areas.

16 So just to wrap up, we see a value in the  
17 Commission taking a flexible approach, and look  
18 forward to future actions the Commission will take  
19 these issues.

20 Thank you.

21 MR. EASTMAN: Thank you.

22 Alliance for Transportation Electrification.

23 MR. JONES: This is Phil Jones with ATE. And  
24 I would echo Noah's comments, you should take a  
25 flexible approach. So the answer on this question

1           for us is no, it's not a good idea at this nascent  
2           stage of market development, it's developing, it's  
3           still pretty early.

4           This idea has come up in other states, and  
5           some commissions, or Commissioners, have suggested  
6           a five-year period, or a percent of market, 20 or  
7           30 percent of the utility role, and at that point  
8           something else happens. But both a temporal limit  
9           or a percent of market share limit is a bad idea.  
10          It would have a chilling effect on the market, and  
11          it would slow down the entire process in Florida.

12          What you can do in a positive sense is keep  
13          your eye on this issue to evoke planning, as I  
14          mentioned before, a plan that's updated every three  
15          or five years, or existing filings that have been  
16          approved for rates, for Duke, FPL and others, and  
17          just oversee this, and because it is going to be  
18          very end-use specific for some more of these  
19          challenging use cases like multi-family and rural,  
20          and some other use cases, the utility role will  
21          probably be bigger in the beginning, but it might  
22          not be as big in the future, and allow the overall  
23          marketplace to develop.

24          So I -- again, don't impose these limits at  
25          the outset. You have more than adequate authority

1 to oversee this through your powers of  
2 investigation and oversight, and, you know, I am  
3 sure you can do it well.

4 That's it.

5 MR. EASTMAN: Thank you.  
6 ChargePoint.

7 MR. WILSON: Thanks.

8 So I think, you know, thinking about this from  
9 the specific question under the broader frame of  
10 competitive neutrality, you know, I would go back,  
11 and I think several folks, and Phil mentioned this,  
12 you know, look at it in the context of a specific  
13 plan or -- excuse me, a specific program proposal  
14 or a suite of those things offered in a plan.

15 So I think what we would offer is that, you  
16 know, the Commission should consider -- consider  
17 these programs in advance. Do a screen for  
18 competitive neutrality. If it is determined that  
19 competitive neutrality is not an issue, then  
20 utilities should be able to proceed with programs  
21 for a period of time under that determination by  
22 the Commission. And when utilities come in at the  
23 end of those programs and propose new ones, or  
24 extending them, revisit the issue.

25 It's going to be a changing marketplace over

1 the -- the next couple of years, decade or  
2 decade-and-a-half, so I think it's something that  
3 needs to be continually evaluated.

4 As the commenter, you know, earlier said, you  
5 know, you can award any is a little bit dangerous,  
6 so to speak, and so I think we should be careful  
7 and say that there are no issues, but we should  
8 also be careful in prescribing any issues without  
9 looking at specific proposals and products.

10 Thank you.

11 MR. EASTMAN: Thank you.

12 EVgo, have you joined us again? No, okay.

13 Greenlots.

14 MR. COHEN: Sure.

15 I think if the question is should there be any  
16 limit or restrictions on a utility investment or  
17 ownership, was that the question basically?

18 MR. EASTMAN: Correct. Yes, basically.

19 MR. COHEN: Okay. So, I mean, at a high  
20 level, yes, there should be, in the sense that  
21 utilities should not be the only owner/operators of  
22 public charging stations. We need multiple  
23 architects, you know, just the flip side of that is  
24 private network owner/operators should not be the  
25 only providers of the service. We really do need

1 multiple actors to not only address unique  
2 challenges of different customer segments, but to  
3 grow adoption overall, and to accelerate adoption.

4 So -- so with that said, I think a couple of  
5 other key points are that utilities not doing a  
6 charging program, I think, and not at least step,  
7 you know, dipping their toes in and putting forth  
8 some pilots, I think, is not a long-term strategy  
9 that will -- that will benefit ratepayers. And so  
10 the fact that the Commission is holding this  
11 workshop, and has held prior workshops, is  
12 encouraging, but I think more is better, more  
13 approaches, a portfolio approach of offerings. And  
14 so I would say discouraging utilities from just  
15 focusing on a particular use case makes sense.

16 I would also say discouraging utilities from  
17 having metrics and learnings is also not the best  
18 approach, flip that around and say there is a whole  
19 lot of learnings, and what works in one state  
20 doesn't always work in another. Even if we think  
21 we have good data about EV usage and charging  
22 behavior, what works in one part of the service  
23 territory might not work in another part of the  
24 service territory.

25 So learnings are really important, and

1 sometimes low customer uptake, or low participation  
2 in a program is not a bad outcome, so --

3 And then just as a final note, I would say in  
4 terms of restrictions on utility programs or  
5 approaches, again, going back to the competitive  
6 neutrality goal, I would say limiting utilities and  
7 narrowly tailoring how they should do programs, and  
8 favoring one particular type of market after, and  
9 not others, is the wrong way to go. And just, I  
10 guess, as my close, to underscore that point  
11 really, from Greenlots' perspective, we are an  
12 active participant in the EV charging market.  
13 We've been around for over 10 years, and we have a  
14 business model, like I said, that's not an  
15 owner/operator.

16 So I think it would be shortsighted to view  
17 this -- this concept of competitive neutrality  
18 really just from a retail level or site host  
19 focused marketplace. Utilities, themselves,  
20 procure from the market, and there are many  
21 different -- different business models that utility  
22 procurement can support.

23 So I will leave it there, but I really  
24 appreciate this opportunity. Thank you.

25 MR. EASTMAN: Thank you.

1 Tesla.

2 MR. BEAN: Thanks. I don't have anything to  
3 add to the discussion thus far.

4 Thank you.

5 MR. EASTMAN: Okay. Thank you.

6 Sierra Club.

7 MR. SHOAFF: Yeah, I agree with -- this is  
8 Nathaniel. I agree with the comments of others  
9 that the Commission should not preordain one  
10 particular model for utility participation, but  
11 instead, in Sierra Club's view, the Commission  
12 ought allow for flexibility, it ought to encourage  
13 innovative proposals from utilities.

14 And as somebody else stated, utilities sitting  
15 out engagement on EVs and EV charging  
16 infrastructure is not going to realize the benefits  
17 for Florida ratepayers.

18 And for the grid, that could otherwise occur,  
19 and so we would encourage the Commission to make  
20 sure that utilities -- utilities are participating  
21 in this space, at least at the early stage of  
22 market.

23 Thank you.

24 MR. EASTMAN: Thank you.

25 And finally, SACE.

1 MR. CROSS: Thank you.

2 This is Stan again for SACE. And, you know,  
3 we -- we also concur that placing limitations, or  
4 thinking about utility engagement through the lens  
5 of where it should be limited is not the most  
6 productive way -- (inaudible) -- activity.

7 That being said, we do believe in, as argued  
8 in other regional dockets, certain expectations of  
9 utilities when they do engage, it's every and all  
10 instances, such as engaging in third-party  
11 evaluation measurement and verification of  
12 programs, and making that data available to  
13 industry stakeholders so that the utilities do not  
14 wind up holding on to proprietary information that  
15 provides a future advantage for the utility, or  
16 does not provide, you know, an ability for the  
17 market as a whole to grow in a -- in sort of the  
18 most efficient and effective direction --

19 MR. EASTMAN: SACE, are you still with us?

20 MR. CROSS: Can you hear me now?

21 MR. EASTMAN: Yes. You are back, okay.

22 MR. CROSS: Can you hear me now?

23 MR. EASTMAN: Yes.

24 MR. CROSS: Okay. I don't know where you lost  
25 me.

1           MR. EASTMAN: All right. It was towards the  
2 end. I am sorry.

3           MR. CROSS: Okay. It was to say that we --  
4 (inaudible) -- encouraging -- (inaudible) --  
5 encouraging the --

6           MR. EASTMAN: I think we may have lost SACE  
7 again. Okay. If we can't -- I guess if we can't  
8 get them back, I have no other questions --

9           MR. ALFORD: This is Matt, Drive Electric --  
10 this is Matt from Drive Electric Florida. I think  
11 based on some of the things they've done in other  
12 markets, they would like to see utilities share the  
13 data that they get so that it can be utilized by  
14 all market participants I believe is the direction  
15 Stan was going, so that's all I will say about  
16 that.

17           MR. CROSS: That is the direction Stan was  
18 going. Thank you.

19           MR. EASTMAN: Okay. Well, thank you.

20           That is all -- SACE, does that finalize your  
21 comments? I won't cut you off.

22           MR. CROSS: Yes, it does. Thank you very  
23 much.

24           MR. EASTMAN: Sure thing.

25           Okay. Thank you, everyone. Those are all my

1           comments. Unless anyone who hasn't spoken up has  
2           something to add, I will throw it back to Ben.

3           MR. CRAWFORD: All right. Thank you, Dale,  
4           and all the participants in the discussion. Unless  
5           someone who hasn't had an opportunity to speak yet  
6           has something to add, we can move towards wrapping  
7           this up. This will be the last opportunity we are  
8           offering to comment, so if anybody has anything --

9           MS. CHRISTENSEN: Yeah, this is Patty  
10          Christensen with the Office of Public Counsel.

11          My comments at this point are just that as the  
12          Commission is considering what steps to take and  
13          balancing how to fill -- fulfill its mandate,  
14          statutory mandate in building out EV  
15          infrastructure, you know, we want to make sure the  
16          consideration is given such that, you know, cost to  
17          the general body of ratepayers is balanced against  
18          the people who receive any service at the end use  
19          so that, you know, cost to general body of  
20          ratepayers could be minimized, and those costs are  
21          being charged to the users where possible.

22          And, you know, it's been beneficial for us to  
23          hear kind of the comments from all the participants  
24          in the market and the utilities, and kind of get a  
25          better understanding of what issues the market and

1 EV stations are chasing at this point.

2 So with that, you know, I don't think I have  
3 anything further to add to the conversation. Still  
4 need to mull over everything that's been presented  
5 to the Commission here today, so I just wanted to  
6 chime in and let the parties know we have been  
7 listening to your comments and trying to get a  
8 better understanding of what's going on, and get a  
9 better understanding of some of the issues for  
10 consideration when we look at, you know, EV  
11 stations and pilot programs, and whether or not  
12 these infrastructures should be allowed into rate  
13 base.

14 So I appreciate the time and the chance to  
15 make just a few brief remarks.

16 MR. CRAWFORD: Thank you, Patty.

17 Did anybody else have anything they wanted to  
18 add?

19 All right. With that, I would like to thank  
20 all of our participants for joining us today. I  
21 think this has been very helpful in providing us  
22 with what we need to fulfill our duties toward the  
23 EV master plan.

24 I would also like to offer participants, as  
25 well as any other stakeholders, the opportunity to

1 file postworkshop comments if they have anything  
2 that they would like add or respond to regarding  
3 the material discussed today. Please follow the  
4 same procedures that were followed for the initial  
5 request for comments. File them with the Clerk's  
6 Office. And I would also recommend CCing me. Some  
7 of the things from the Clerk's Office didn't --  
8 didn't make it to me the first time, at least not  
9 immediately. You can reach me, my email address is  
10 benjamin.crawford@psc.state.fl.us, or bcrawfor,  
11 omit the last letter of my last name,  
12 @psc.state.fl.us, they go to the same email  
13 address.

14 But I would ask for postworkshop comments to  
15 be filed no later than 30 days from today, which is  
16 November 20th, 2020, at 5:00 p.m. That's a Friday.  
17 And what we will end up doing with all of that is  
18 putting it on the same -- we have -- if anybody  
19 hasn't seen it yet, we have something on the PSC  
20 website under the utility regulation, the PSC  
21 website is floridapsc.com, and under the utility  
22 workshop -- or the utility regulation page, we have  
23 a subpage set up for this workshop, and we have  
24 preworkshop comments listed on there, and will be  
25 listing the postworkshop comments on there --

1 (inaudible) --

2 But anyway, thank you for everyone, and have a  
3 good rest of your day.

4 MS. DVARECKAS: Ben, hi, excuse me. Ben?

5 MR. CRAWFORD: Yes.

6 MS. DVARECKAS: This is Jill Dvareckas from  
7 Florida Power & Light.

8 Beyond the workshop comments, do you mind  
9 elaborating on what the process will be for the PSC  
10 going forward?

11 MR. CRAWFORD: What we are going to do is we  
12 are going to evaluate everything we receive. We  
13 have got some independent research we are doing as  
14 well. And we don't anticipate having any further  
15 workshops or anything. We have a deadline,  
16 essentially, to get our materials to the Department  
17 of Transportation by the beginning of February, and  
18 we are going to need to take it to the Commission  
19 to an Internal Affairs probably sometime in  
20 January, we think right now. So the time between  
21 now and when we take this to IA is going to simply  
22 be trying to mull through all the information we  
23 have, everything that we've got now, everything we  
24 get between now and -- and the postworkshop  
25 comments, and trying to put it together in some

1           sort of form that we will bring to IA. We are  
2           anticipating January right now, but that's not set  
3           in stone. And then from there, we will be  
4           forwarding it to the Department of Transportation.  
5           They are putting together the final order.

6                     Does that answer what you were asking?

7                     MS. DVARECKAS: Yes. Thank you.

8                     MR. CRAWFORD: All right. If nobody has  
9           anything else to add, we can be adjourned.

10                    (Proceedings concluded.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA )  
COUNTY OF LEON )

I, DEBRA KRICK, Court Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED this 4th day of November, 2020.



---

DEBRA R. KRICK  
NOTARY PUBLIC  
COMMISSION #HH31926  
EXPIRES AUGUST 13, 2024