

1 BEFORE THE
2 FLORIDA PUBLIC SERVICE COMMISSION

3 In the Matter of:

4 DOCKET NO. 20210015-EI

5 Petition for rate increase
6 by Florida Power & Light
7 Company.
_____ /

8 VOLUME 13
9 PAGES 2817 - 2938

10 PROCEEDINGS: HEARING

11 COMMISSIONERS
12 PARTICIPATING: CHAIRMAN GARY F. CLARK
13 COMMISSIONER ART GRAHAM
14 COMMISSIONER ANDREW GILES FAY
15 COMMISSIONER MIKE LA ROSA
16 COMMISSIONER GABRIELLA PASSIDOMO

17 DATE: Monday, September 20, 2021

18 TIME: Commenced: 1:00 p.m.
19 Concluded: 5:28 p.m.

20 PLACE: Betty Easley Conference Center
21 Room 148
22 4075 Esplanade Way
23 Tallahassee, Florida

24 REPORTED BY: ANDREA KOMARIDIS WRAY
25 Court Reporter

APPEARANCES: (As heretofore noted.)

PREMIER REPORTING
112 W. 5TH AVENUE
TALLAHASSEE, FLORIDA
(850) 894-0828

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

PANEL (Barrett, Bores, Coyne, Valle, Cohen):	PAGE
Examination by Mr. Wright	2821
Examination by Mr. Marshall	2839
Examination by Mr. Skop	2889
Examination by Mr. Litchfield	2930
Examination by Ms. Moncada	2931

1	EXHIBITS		
2	NUMBER:		ID ADMITTED
3	478-483	As identified in the CEL	2933
4	620	As identified in Volume 12	2933
5	621	PSC Order No. 2013-0023-S-EI, Order Approving Revised Stipulation and Settlement -	2836 2933
6		Excerpt, Pages 1-9	
7	622	Updated CPVRR analysis for FPL SolarTogether Phase One, from	2836 2933
8		PSC Docket No. 20190061	
9	623	FPL 2021 TYSP excerpt	2836 2933
10	624	Staff's 12th Data Request to FPL, No. 1	2836 2933
11	625	FL RISING-LULAC-ECOSWF'S 5th Interrogatory to FPL, No. 57	2836 2933
12			
13	626	FL Rising-LULAC-ECOSWF'S 5th Interrogatory to FPL, No. 56	2836 2933
14			
15	627	Staff's 8th Data Request to FPL, No. 6	2836 2933
16	628	FL RISING-LULAC-ECOSWF'S 5th Interrogatory to FPL, No. 58 -	2836 2933
17		Percent Sales and Allocations	
18	629	FL RISING-LULAC-ECOSWF'S 5th Interrogatory to FPL, No. 60	2836 2933
19			
20	630	FL RISING-LULAC-ECOSWF'S 5th Interrogatory to FPL, No. 61	2836 2933
21	631	FL RISING-LULAC-ECOSWF'S 5th Interrogatory to FPL, No. 59	2836 2933
22			
23	632	MFR E01 Test Consolidated With RSAM - Attachment 2	2836 2933
24	633	Staff's 5th Data Request to FPL, No. 6	2836 2933
25			

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS (Continued)

NUMBER:		ID	ADMITTED
634	Staff's 4th Data Request to FPL, No. 2	2836	2933
635	FL RISING-LULAC-ECOSWF'S 4th Production of Documents, No. 39, Attachment 1 - Minimum Bill	2836	2933

1 P R O C E E D I N G S

2 (Transcript follows in sequence from
3 Volume 12.)

4 MS. MONCADA: Mr. Chairman, we tender the five
5 witnesses for cross-examination.

6 CHAIRMAN CLARK: All right. We'll begin
7 with -- the order I have here is OPC. Any
8 questions?

9 CLEO. No questions?

10 MS. OTTENWELLER: No questions.

11 CHAIRMAN CLARK: No questions.

12 FAIR, Mr. Wright.

13 MR. WRIGHT: Thank -- thank you, Mr. Chairman.
14 I do have some questions for this panel.

15 (Whereupon, the following witnesses were
16 questioned as a panel.)

17 EXAMINATION

18 BY MR. WRIGHT:

19 Q Hey, y'all. I'm going to go through a few
20 questions that arose in the oral rebuttal first and then
21 I have a few other questions that I'll ask at the end.

22 First question, for Mr. Barrett -- although
23 other witnesses touched on it.

24 You did mention in your oral rebuttal that the
25 settlement would provide for -- or would encourage,

1 facilitate, FPL improving its emissions profile,
2 correct?

3 A (Barrett) Correct.

4 Q My question for you is this: Does FPL have a
5 net-zero greenhouse-gas emissions target date?

6 A (Barrett) No.

7 Q Does FPL have a physical-zero greenhouse-gas
8 emissions target date?

9 A (Barrett) No.

10 Q Thank you.

11 You referred to the settlement agreement's
12 provisions for the other pilot pro- -- programs.

13 Are any of those -- do any of those include
14 rates and revenues to be recovered through any of the
15 cost-recovery clauses?

16 A (Barrett) I don't believe so, but I'm gonna
17 ask Mr. Valle to handle that, if you don't mind.

18 Q Please do. Thanks.

19 A (Valle) There are a couple programs that you
20 may be referring to that are tariff -- voluntarily
21 tariffs that are part of the settlement package. So, I
22 can zero in, if you point me to which one, but we have a
23 residential EV-charging tariff, commercial-fleet
24 charging-infrastructure tariff, and then a solar-
25 facilities tariff.

1 Q Thank you. That was actually going to be my
2 next question.

3 So, the first question I -- I wanted to ask
4 is: Are any of the pilots -- do any of the pilot
5 programs provide for cost recovery through an existing
6 cost-recovery clause?

7 A (Barrett) No.

8 Q Okay. Thanks.

9 Now, the -- you just -- Mr. Valle just
10 explained that there are, I think, three EV-charging
11 programs that would be the subject of voluntary tariffs;
12 is that accurate?

13 A (Valle) There are two EV-charging tariffs,
14 volunteer tariffs, and one solar tariff.

15 Q Okay. Thank -- thank you.

16 Given that those are voluntarily tariffs, am
17 I -- am I correct that any base revenues that accrued
18 pursuant to those tariffs would be outside the base-rate
19 cap?

20 A (Barrett) Can you explain what you mean by
21 base-rate cap? I mean, we're not gonna -- we're not
22 increasing base rates for these proposals. Does that
23 answer the question?

24 Q Correct.

25 A (Barrett) No incremental --

1 Q It would not -- sorry.

2 A (Barrett) There's no incremental increase
3 other than provided for in this settlement agreement.

4 Q But the reven- -- the additional revenues
5 accruing to FPL through those voluntary tariffs would
6 accrue to FPL's earnings, correct?

7 A (Barrett) They go to pay the revenue
8 requirements of those programs.

9 Q Are you suggesting that their -- that their
10 revenues provided by those programs would only cover
11 those revenues -- cover the program's costs -- pilot
12 tariffs' costs?

13 A (Valle) Yes, that's the intention. Two of
14 those pilots include -- the solar and the EV-charging
15 pilot are just equipment. So, we look at the capital
16 deployed, use a capital-recovery factor over the ten-
17 year life, and intend to recover that.

18 That becomes the effective bill to the
19 customer and we recover that over ten years. There's a
20 termination penalty, Commission, if a customer had
21 stepped away from that. So, we think the general body
22 is protected there.

23 The only modification on the residential one
24 is that is both a level-two charger -- so, an equipment
25 lease through the tariff -- plus, also energy that goes

1 with that.

2 Q Thank you.

3 My next small number of questions are -- will
4 be directed to Mr. Bores.

5 Mr. Bores, I -- I think that I understood you
6 to say that, without the RSAM, FPL would use alternate
7 depreciation rates, correct?

8 A (Bores) Yes, if the four-year proposal were
9 not adopted. A big piece of the four-year proposal is
10 the ability to use the RSAM flexibly over that period.

11 If not, yes, there would be no four-year
12 proposal, which would naturally push us back to the
13 filed depreciation study.

14 Q I think that I understood you to say that --
15 that the savings that -- that you claim accrue from the
16 RSAM are attributable to using the different
17 depreciation rates.

18 Did I get that -- did I understand you
19 correctly?

20 A (Bores) Yes, the alternative parameters have
21 different depreciation lives than the depreciation
22 study. It reduces the depreciation accrual. So, yes,
23 there -- the RSAM results in a savings and the
24 depreciation accrual, such that, if we don't adopt the
25 RSAM, all else equal, rates would be higher, to the tune

1 of almost \$200 million per year.

2 **Q** Isn't it true that the Florida Public Service
3 **Commission could use the alternate depreciation**
4 **parameters, which are in evidence in this case, to set**
5 **depreciation rates and any depreciation reserve surplus**
6 **treatment in its final decision in the case?**

7 A (Bores) I think the Commission naturally has
8 leeway to do whatever they decide, but that is not the
9 proposal here before them today. I think we've been
10 very clear that the RSAM and having that RSAM is what
11 allows us to commit to that four-year proposal.

12 I've demonstrated that we project to have
13 significant increase in revenue requirements in both
14 2024 and 2025 and, without the RSAM, we'll not be able
15 to cover those revenue requirements and, thus, will push
16 us back to a two-year proposal in a rate case, most
17 likely, into 2022 -- or I'm sorry -- 2023 for new rates
18 effective in 2024.

19 **Q** I do think you answered my question by saying
20 **the Commission has the leeway to do what it thinks best**
21 **with these parameters, correct?**

22 A (Bores) I think the Commission always has
23 discretion, but again, that's not the proposal before
24 them today.

25 **Q** Thank you.

1 I think you made a statement to the effect
2 that they -- having the RSAM at the mid-point ROE or
3 capping the use of the depreciation reserve surplus at
4 the mid-point ROE would dis-incentivize FPL from seeking
5 productivity savings.

6 Did I -- did I translate that correctly?

7 A (Bores) Yes, I -- I think that's what I said.
8 Essentially, having that flexible use allows us to
9 carefully manage the business. We -- we have a set pot
10 of RSAM, or 1.45 billion, that we need to carefully
11 manage over the four-year period.

12 So, allowing us to use a little more early on
13 and potentially go above the mid-point while we work to
14 find productivity savings over the four-year period is a
15 key factor in our ability.

16 And taking that away from us, we just think,
17 doesn't have the -- the same incentive for us to go out
18 and find that productivity savings to be able to deliver
19 it to customers as fast as we could.

20 Q So --

21 MS. MONCADA: Mr. Wright -- I'm sorry -- I --
22 I really don't mean to interrupt your flow --

23 MR. WRIGHT: That's okay.

24 MS. MONCADA: -- but I think that there's a
25 little bit of going -- going in and out with

1 Mr. Bores and the mic. I want to make sure that
2 the court reporter can hear. I think she's having
3 just a little bit of trouble.

4 I don't know if maybe you can put it closer to
5 you, if that's possible.

6 MR. BORES: I'll try.

7 MS. MONCADA: Thank you.

8 BY MR. WRIGHT:

9 Q Okay. So, here -- here is a hypothetical
10 question -- but that's fair in this line of work.
11 Suppose you have the opportunity to save -- to do
12 something to save a hundred million dollars in 2023 --
13 wouldn't FPL pursue that?

14 A (Bores) Yes, we -- we always do what's best
15 for our customers.

16 Q Why would a capped ROE -- capped use of the
17 RSAM at the mid-point ROE affect FPL's incentive to go
18 get that hundred million dollars of savings?

19 A (Bores) It could change how we manage the
20 business, right, whether we -- we make a capital
21 investment and can earn a fair return on that to get
22 O & M savings over the period. Just limiting the use or
23 how we -- how we manage that RSAM over a four-year
24 period changes the way we operate the business.

25 Q Thank you.

1 I have a -- a few questions about the process
2 and the nature of the settlement. I think that -- that
3 my friend, Mr. Barrett, will be the best person to
4 answer them, but if somebody else wants to jump in,
5 that's okay with me.

6 I think it's clear from the testimony that's
7 been given that the settlement pro- -- the settlement
8 agreement was the product of negotiations, correct?

9 A (Barrett) Correct.

10 Q Can you tell us when those negotiations began?

11 MR. LITCHFIELD: I'll -- I'll object to a line
12 of questioning that per- -- that goes to the
13 details, the timing, the parties, anything relating
14 to the negotiations.

15 MR. WRIGHT: I'm not going to ask him to name
16 names, but I do have a couple more questions. And
17 you're certainly free to make whatever objection
18 you want, and we'll see how it goes.

19 BY MR. WRIGHT:

20 Q Were all of the parties who signed the
21 settlement agreement that was submitted on August 9th
22 present at -- at the negotiations before it was signed?

23 MR. LITCHFIELD: Again, Mr. Chairman, I object
24 to the line of questioning that goes to the
25 negotiations, themselves, who participated, when

1 they participated. The parties that participated
2 in the settlement negotiations signed obligations
3 of non-disclosure, the terms of which Mr. Wright is
4 very familiar with, having signed such settlement
5 agreements, non-disclosure agreements in the past.

6 MR. WRIGHT: Mr. Chairman, I'm not asking him
7 to name any names. I'm not asking him to reveal
8 any specific details of the negotiations. I'm
9 asking: Were the parties who signed the agreement
10 present at the negotiation.

11 CHAIRMAN CLARK: Ms. Helton, where are we --
12 where do we stand on -- on the legalities of
13 disclosing this information, in your opinion?

14 MR. WRIGHT: And I'll make one more proffer,
15 if I may, Mr. Chairman. This goes to the
16 credibility of the negotiation process. Thank you.

17 CHAIRMAN CLARK: Ms. Helton?

18 MS. HELTON: If I could have a minute to
19 confer with the general counsel and Ms. Crawford,
20 that would be helpful, but I guess, also, too --
21 so, exactly what is the objection? I understand
22 that you're concerned that he's asking questions
23 about the settlement process, but what specifically
24 is your objection beyond that?

25 MR. LITCHFIELD: The objection is that

1 settlement negotiations are inherently protected,
2 by law. We, in fact, have signed obligations of
3 non-disclosure among the parties who participated.

4 And those obligations include not disclosing,
5 in fact, whether discussions are even happening,
6 how -- the status of those discussions, when they
7 initiate, when they terminate, when they may fall
8 apart. These are standard terms that -- that the
9 parties typically have signed in settlement
10 negotiations.

11 And, to Mr. Wright's point, if he wants to
12 test the, quote, unquote, "credibility of the
13 negotiations", well, I submit that is not the issue
14 before this Commission. The issue before this
15 Commission is whether the agreement that is the
16 result of negotiations is in the public interest.

17 MS. HELTON: May we ask Mr. Wright if he has a
18 response to Mr. Litchfield?

19 MR. WRIGHT: Yes. I'm not asking him to
20 reveal anything that would otherwise be prohibited
21 by any of the NDAs that I am familiar with. And I
22 think the credibility of the negotiation process is
23 squarely of interest to this Commission.

24 CHAIRMAN CLARK: Let's take five minutes. Let
25 me do an evaluation here. We'll be right back.

1 (Brief recess.)

2 CHAIRMAN CLARK: All right. Let's get
3 everybody back in their places, get started.

4 As a man once told me, never ask a question
5 you don't know the answer to already, but I'm going
6 to turn this over to you, Mary Anne.

7 MS. HELTON: Unfortunately, Mr. Chairman, I
8 didn't know the answer either, but we have
9 conferred with your lawyers, and I have an answer
10 for you now. So, I appreciate the time very much.

11 I believe that any questions about the
12 negotiations, themselves, are irrelevant and
13 inappropriate; however, if Mr. Wright were to ask
14 when his client was told or in- -- or informed of
15 the settlement, I think that that would be an
16 appropriate line of questioning, if that is, in
17 fact, where he is going.

18 CHAIRMAN CLARK: All right. I'm gonna sustain
19 the objection based on the questions regarding the
20 terms or portions of the settlement agreement.

21 Mr. Wright, are you good? You -- you
22 understand?

23 MR. WRIGHT: Oh, yes. I -- Ms. Helton
24 explained it very well.

25 I -- I have -- I have a few questions along

1 this line and --

2 CHAIRMAN CLARK: Proceed.

3 MR. WRIGHT: -- if Mr. Litchfield objects and
4 you sustain, then -- then we'll know what the
5 answer to that is.

6 BY MR. WRIGHT:

7 **Q The ultimate -- the question I really want to**
8 **know the answer to is, is this -- and I think -- I think**
9 **it's been acknowledged anyway -- is: Were the**
10 **negotiations secret.**

11 MR. LITCHFIELD: I'll object to the
12 characterization of negotiations as "secret".

13 CHAIRMAN CLARK: Sustained.

14 MR. LITCHFIELD: They are negoti- -- thank
15 you.

16 BY MR. WRIGHT:

17 **Q Did any -- did you tell the Public Service**
18 **Commission staff that the negotiations were going on?**

19 MR. LITCHFIELD: Same objection. Mr. Wright
20 is very familiar with the terms of non-disclosure
21 agreements that he, himself, previously has signed;
22 that that, in fact, would be a violation --

23 CHAIRMAN CLARK: Sustained.

24 MR. LITCHFIELD: -- of the settlement.

25 MR. WRIGHT: Thank you.

1 I'll move on to my last brief line of
2 questioning.

3 BY MR. WRIGHT:

4 Q I think this is also for Mr. Barrett.

5 Mr. Barrett, as I understand it, the
6 settlement agreement is presented as an all-or-nothing
7 deal, correct?

8 A (Barrett) I guess I would characterize it as
9 it's a comprehensive deal that parties agree, in its
10 totality, represents the public interest.

11 Q Well, if I look at Paragraph 30, it says
12 your -- if it's not im- -- approved in its entirety,
13 it's not approved. It's not a deal, amongst the
14 parties; is that accurate?

15 A (Barrett) That is accurate.

16 Q Has FPL ever agreed to modify a settlement
17 agreement that had initially been presented to the
18 Florida PSC as an all-or-nothing deal or as a
19 comprehensive deal, as you just characterized it?

20 A (Barrett) I don't know.

21 Q Isn't it true that that's exactly what
22 happened in the 2012 rate-case settlement?

23 A (Barrett) Could you recharacterize what you're
24 saying happened in 2012?

25 MR. WRIGHT: In 2012 -- no, let's just do

1 this.

2 Candice?

3 (Discussion off the record.)

4 MR. WRIGHT: Mr. Chairman, I -- I had hoped
5 not to have to do this, but I had an exhibit
6 prepared in case I got an equivocal -- an equivocal
7 answer to my question.

8 MR. LITCHFIELD: Mr. Chairman, if I may
9 suggest to Mr. Wright -- I mean, feel free to
10 distribute the exhibit, but if there's a question
11 that you can ask the witness that might recall
12 his -- his memory, I have no objection to you
13 asking that type of a question to see if he
14 remembers a -- a specific fact or circumstance.

15 BY MR. WRIGHT:

16 Q Well, Mr. Barrett, is- -- isn't it true that
17 in the 2- -- coming out of the 2012 -- or during the
18 2012 case, FPL and a few settling parties submitted a
19 settlement agreement to the Commission that sought an
20 increase of \$378 million per year as the first-year
21 increase, correct?

22 A (Barrett) Subject to check, I'll agree to
23 that.

24 Q Thank you.

25 Isn't it true that, at the agenda conference,

1 the Florida Public Service Commission expressed some
2 concerns regarding the terms of the settlement
3 agreement?

4 A (Barrett) I don't recall specifically, but I
5 do recall there being a discussion about that.

6 Q Isn't it true that, subsequent to those
7 discussions, FPL and the other settling parties agreed
8 to reduce both the revenue requirement and the ROE?

9 A (Barrett) Yes, I believe that's the case.

10 MR. WRIGHT: Mr. Chairman, I would like this
11 marked for identification. This is an excerpt from
12 the Commission's Order No. 2013-0023-S-EI. We --

13 CHAIRMAN CLARK: We'll mark it No. 621.

14 MR. WRIGHT: Thank you.

15 (Whereupon, Exhibit No. 621 was marked for
16 identification.)

17 BY MR. WRIGHT:

18 Q It's an excerpt from -- it's an expert -- it's
19 the actual order part excluding the settlement
20 agreement, itself, from -- from that order.

21 MR. LITCHFIELD: I -- I'm sorry, Mr. Wright.
22 You faded away. Could you rephrase what you just
23 said or restate what you said?

24 MR. WRIGHT: Oh. I simply said, it -- it is
25 the order part of that order; it does not include

1 the appendix to the order, which is the settlement
2 agreement, itself.

3 MR. LITCHFIELD: Thank you.

4 MR. WRIGHT: That's all.

5 And if -- if FPL will agree that we can have
6 this come into evidence, I won't ask any more
7 questions.

8 MR. LITCHFIELD: No objection.

9 CHAIRMAN CLARK: All right.

10 MR. WRIGHT: Thank you.

11 CHAIRMAN CLARK: All right. Next up, FEA?

12 MAJOR KIRK: No questions.

13 CHAIRMAN CLARK: FIPUG.

14 MR. MOYLE: No questions.

15 CHAIRMAN CLARK: FIT -- not here, he can't ask
16 any questions, right?

17 FRF?

18 MR. BREW: No questions.

19 CHAIRMAN CLARK: And Florida Rising.

20 Mr. Marshall, we'll give you guys a second to
21 get set up.

22 MR. MARSHALL: Thank you, Mr. Chairman.

23 Mr. Chairman, I believe a packet of cross-
24 examination exhibits for the panel should have been
25 handed out. I just want to make sure everyone has

1 it.

2 CHAIRMAN CLARK: All right. Everyone have
3 copies of the exhibits?

4 MR. MARSHALL: I --

5 CHAIRMAN CLARK: Mr. Marshall, would you like
6 to mark these?

7 MR. MARSHALL: Yes. I believe -- there's 14
8 exhibits here, so we should be -- I think there --

9 CHAIRMAN CLARK: There are 14 in my hand?

10 MR. MARSHALL: Yes.

11 CHAIRMAN CLARK: Okay.

12 MR. MARSHALL: And so, I think it will be 622
13 through 635, in the order that they've been handed
14 out.

15 CHAIRMAN CLARK: All right. Let's make sure
16 we're all on the same page. I'm gonna go through
17 these very quick. The first one is 622. That's
18 updated CPVRR analysis; 623 is 2021 TYSP excerpt;
19 624, staff's 12th data request; 625, Florida
20 Rising/LULAC/ECOSWF fifth interrogatory to FPL;
21 626, Florida Rising/LULAC fifth interrogatory, No.
22 56; Exhibit 627, staff's 8th data request to FPL,
23 No. 6.

24 I take it this is all one document? 628,
25 Florida Rising fifth interrogatory, No. 58; 629,

1 Florida Rising fifth interrogatory to FPL, No. 60;
2 630 will be interrogatory to FPL No. 61; 59 will be
3 631; 632, MFR EO1 test consolidated with the RSAM.

4 The final one -- oh, no, it's -- what are we
5 on, 633? 633, staff's fifth data request to FPL,
6 No. 6; 634, staff's fourth data request to FPL,
7 No. 2; 635, Florida Rising/LULAC, No. 39,
8 Attachment No. 1, minimum bill.

9 Are we all clear? Got it? Did I get them
10 right, Mr. Marshall?

11 MR. MARSHALL: Yes, Mr. Chairman, that matches
12 what I have.

13 (Whereupon, Exhibit Nos. 622 through 635 were
14 marked for identification.)

15 EXAMINATION

16 BY MR. MARSHALL:

17 Q Mr. Barrett, this question is for you and will
18 have no context of follow-up, but is an agreed-upon
19 question.

20 Has Duke filed a complaint at FERC related to
21 the North Florida Resiliency Connection?

22 A (Barrett) Yes.

23 Q Mr. Bores, during your oral rebuttal
24 testimony, you -- you discussed how Mr. Rabago had the
25 extra costs regarding the 20-year amortization period

1 wrong.

2 Do you recall that?

3 A (Bores) Yes, I do.

4 Q And do you have an estimate on the increase in
5 costs, on a nominal basis, based on increasing that
6 period from 10 years to 20 years?

7 A (Bores) Yes, I -- I think, roughly, in nominal
8 terms, it was somewhere in the magnitude of
9 \$600 million, but as I described, I think the correct
10 way to look at that is on a discounted basis where
11 customers should be relatively indifferent.

12 Q And, Mr. Bores, if I could direct you to the
13 Exhibit SRB-17, Hearing Exhibit 620.

14 A (Bores) Yes.

15 Q Am I reading this exhibit correct that, in
16 2025, that you project an adjusted rate base of a little
17 over \$66 billion for FPL?

18 A (Bores) Yes, that is correct.

19 Q Does that include the SolarTogether that's
20 contemplated in the settlement?

21 A (Bores) I'm trying to remember when this was
22 prepared -- yes, it does.

23 Q During your -- I believe it was during your
24 oral rebuttal testimony, you discussed how Mr. Rabago's
25 11.7-percent ROE -- where -- where he took your model

1 and put the 11.7-percent ROE was incorrect because he
2 didn't change the -- I believe the -- the subscription
3 cost that -- to reflect that -- the design of the
4 program.

5 Is that -- do I have that right?

6 A (Bores) Yes, I think that's -- that's one
7 flaw.

8 Another flaw is customers aren't paying rates
9 at 11.7 percent. So, to assume they are, in that model,
10 over a 35-year life of the SolarTogether facilities is
11 just another flawed example.

12 Q And regarding that adjustment for the return
13 on equity -- is there any mechanism in the tariff to
14 change the subscription costs, based on FPL's return on
15 equity?

16 A (Bores) No, that's not the design of the
17 program.

18 Q I believe, as you have testified, as part of
19 the settlement, alterations were made to the
20 SolarTogether program.

21 A (Bores) Yes, I think Mr. -- Mr. Valle touched
22 upon those in his summary.

23 Q And -- and I should have been clear, this line
24 of questioning can be for Mr. Valle or -- or for you or
25 for anyone, but I believe it would be Mr. Valle and you,

1 Mr. Bores, that would be most-qualified to -- to answer
2 these questions.

3 And, as part of those changes, as part of the
4 settlement, credits to participants were -- were
5 increased from where they are presently; isn't that
6 right?

7 A (Valle) Yes, that's correct.

8 Q And so, if you go to Exhibit REB-15,
9 Page 260 -- do -- do you have your exhibits with you?

10 A (Barrett) REB- --

11 MR. LITCHFIELD: Sorry, Mr. Marshall, did you
12 say "REB"?

13 MR. MARSHALL: Yes, "REB".

14 MR. LITCHFIELD: It's Mr. Barrett's exhibit.

15 MR. MARSHALL: It's -- it's Mr. Barrett's
16 exhibit. It's the settlement.

17 MR. LITCHFIELD: Right.

18 MR. MARSHALL: It's -- it's in the settlement.

19 MR. LITCHFIELD: Okay. Thank you.

20 BY MR. MARSHALL:

21 Q But, again, I s- -- I mean, if Mr. Barrett
22 is the most- -- you know, if you feel most-qualified to
23 answer these questions, feel free. This is for anyone,
24 but I suspect --

25 A (Barrett) I just wanted to understand which

1 exhibit it was.

2 Q Yes.

3 A (Barrett) What page number did you say?

4 Q Page 260.

5 CHAIRMAN CLARK: What was the exhibit number,
6 Mr. Marshall, that you referred to?

7 MR. MARSHALL: REB-15. This is Hearing
8 Exhibit --

9 CHAIRMAN CLARK: REB-15 is CEL 483, if that
10 helps.

11 MR. BARRETT: I think we'd have to get a copy
12 from Counsel. That has -- that's an attachment to
13 the settlement agreement, I think?

14 MR. MARSHALL: Yes, that's correct.

15 MR. BARRETT: All the tariffs?

16 MR. MARSHALL: Yes.

17 MR. BARRETT: Give us the page number --

18 MS. MONCADA: -- the page --

19 MR. BARRETT: -- again?

20 MR. MARSHALL: Page 260.

21 MR. LITCHFIELD: Mr. Marshall, perhaps you
22 could describe the -- the page. The pagination may
23 be different.

24 MR. MARSHALL: Sure. This is the -- this is
25 going to be second revised sheet, No. 8.934, the

1 monthly subscription participant rates for the
2 SolarTogether program.

3 MR. VALLE: I -- I've got it here. I think --
4 yeah, we have it. We can share.

5 BY MR. MARSHALL:

6 Q And so, this is -- these are the -- the rates
7 on this sheet are the rates that are -- FPL is asking to
8 be approved as part of the settlement agreement.

9 A (Valle) That's correct, to the extent
10 (unintelligible).

11 Q And --

12 THE COURT REPORTER: I'm sorry? Repeat that.

13 MR. VALLE: Yeah, sorry. The mic, here.

14 That -- yes, that's correct, for the extended
15 program.

16 BY MR. MARSHALL:

17 Q And so, for example, in year one of the
18 program, the credits are -- for the subscription credit
19 will be 3.59792 cents per kilowatt hour.

20 A (Valle) Yes, that's correct.

21 Q And that's an increase from the present rate
22 for subscription credit in -- in the program?

23 A (Valle) That is correct, yes.

24 Q And the -- those current rates for the program
25 are contained on the prior page of the exhibit,

1 **Page 259; is that right?**

2 A (Valle) I don't have that sheet in front of
3 me, but subject to check, yes, that would be the
4 appropriate spot for it.

5 **Q And subject to check, that increase in credits**
6 **is a little over 5 percent?**

7 A (Valle) Yes, that sounds right.

8 **Q And for almost all the following years, there**
9 **is also an increase in subscription credits as compared**
10 **to the current subscription credits in SolarTogether.**

11 A (Valle) That's correct, Commission. We --
12 when we combined the program, we set the extended
13 program at one rate. So, this is -- reflects a one-time
14 adjustment for the original customers in SolarTogether
15 and then new customers that would join the extended
16 program to the new rates that are published on 8.934.

17 It is true that the benefit rate for year one
18 and all subsequent years went up a little bit. The --
19 the escalation went down -- the benefit-rate escalation
20 went down a little bit when we made these changes.

21 **Q Now, we're going to be looking at the CPVRR**
22 **analysis for SolarTogether. So, this might be going**
23 **back to Mr. Bores, SRB-16. And we are also gonna be**
24 **looking at Exhibit No. 622 --**

25 **Exhibit 620- -- I'm sorry. Exhibit 622 is the**

1 CPVRR summary for the -- from the original phase of
2 SolarTogether; is that right?

3 A (Bores) Yes, that's what it appears to show.

4 Q And on Exhibit SRB-16, Page 2 of 3 is the
5 revised CPVRR projection of that original phase,
6 incorporating the changes FPL proposes to make here in
7 the settlement agreement.

8 A (Bores) Yes, that's correct.

9 Q One of those changes is extending the life of
10 the solar to 35 years; is that right?

11 A (Bores) Yes.

12 Q Another change that -- that we just discussed
13 was increasing the credits.

14 A (Bores) Yes. Mr. Valle just touched on that.

15 Q And, originally, looking at Exhibit 622, from
16 the original phase, the general body of customers was
17 projected to receive \$111.9 million of CPVRR benefits;
18 is that right?

19 A (Bores) Yes.

20 Q And now, under the revised projection on
21 Exhibit SRB-16, Page 2, the general body of customers is
22 expected to receive 68 million of CPVRR benefit.

23 A (Bores) Yes, I think we've got a little bit of
24 an apple and an orange going on here. I think, as
25 Mr. Valle talked about, we designed an extended program,

1 and that extended program creates \$648 million of total
2 benefits.

3 In redesigning the program between the
4 original phase and the extension phase, we kind of
5 reallocated those benefits that resulted in the higher
6 benefit rate, but overall, we're still projecting
7 \$292 million of total benefits for the general body of
8 customers, which is significantly higher than the
9 112 million from the original program.

10 **Q The --**

11 A (Valle) Commission, I'd just like to add one
12 point here because we're getting into the math and
13 having to explain kind of the why, but the rationale for
14 this was, simply, the deal that we had talked about in
15 the original SolarTogether docket, where we set
16 participating customers on a seven-year payback -- we
17 wanted to keep that for the extension phase here.

18 And, as Mr. Bores just pointed out, we were
19 able to do that with this new extension and put the
20 general body in an even-better position than they were
21 in the previous -- in the previous docket. So, that's
22 why we had decided to set those parameters as is.

23 And then we looked at this, simply, as keeping
24 one deal in the marketplace. We didn't want to have
25 different vintage- -- different vintages of deals and,

1 because we've been bringing customers in over the last
2 18 months as we've been building sites, we thought one
3 extended program made the most sense. That's the
4 rationale underlying some of the numbers.

5 **Q The net distribution of credits to**
6 **participants has also increased on a nominal and CPVRR**
7 **basis?**

8 A (Bores) Yes. Again, as I think I just talked
9 about, we -- we have a much bigger program now with a
10 great pot of -- of benefits as a result of that.

11 **Q Just looking at the original phase of the**
12 **program on -- on Page 2 of 3 of Exhibit SRB-16, on a**
13 **nominal basis, the net credits have increased from**
14 **\$678 million to \$928 million.**

15 A (Bores) Sorry. Where are you looking? Can
16 you direct me more specifically?

17 **Q Sure. Originally, under the original phase of**
18 **the program, the -- as shown in Exhibit No. 622,**
19 **participants were expected to receive, over the life of**
20 **the program, nominally, a net of \$678 million.**

21 A (Bores) Got it.

22 **Q I'm sorry. I didn't hear you.**

23 A (Bores) Sorry. I got that number.

24 **Q Okay. And that has increased under the**
25 **revised projection, as shown on Exhibit SRB-16, Page 2,**

1 to \$928 million.

2 A (Bores) That's correct.

3 Q And, similarly, on a CPVRR basis, that same
4 number has gone from 136.8 million to 155.3 million.

5 A (Bores) Yes, I think, as we've been talking
6 about previously, through the previous line of
7 questioning, we -- we have a bigger pot of benefits
8 available as a result of the extended program.

9 As Mr. Valle just discussed, to keep the
10 pricing and parameters the same, we extended the program
11 resulting in passing along some of those additional
12 benefits in a higher benefit rate to the original
13 program, but still leaving \$292 million of benefit, at
14 the end of the day, for the general body customers;
15 almost three times the original program.

16 Q And on -- if -- if I could direct your
17 attention now to the combined basis, Page 1 of
18 Exhibit SRB-16.

19 And I -- I guess I should start with a
20 foundational question. Page 1, here, shows the entire
21 program together under the settlement; is that right?

22 A (Bores) That is correct.

23 Q And, under the entirety of the combined
24 program, participants expect a net payment via credits
25 of over \$2 billion, on a nominal basis; is that right?

1 A (Bores) Yes, that is the benefit to
2 participants.

3 **Q And that's \$356.6 million on a CPVRR basis.**

4 A (Bores) Yes, that is what the math shows.

5 **Q And those credits are paid as part of the Fuel
6 Clause from the general body of ratepayers?**

7 A (Bores) Yes, representing the fuel savings
8 associated with building all this additional solar.

9 **Q By 2024, participants expect to be receiving
10 credits on net; is that right?**

11 A (Bores) Yes.

12 **Q Such that the total net-revenue requirements
13 for the general body of customers are expected to be
14 \$187.4 million in 2024.**

15 A (Bores) Yes, but I -- I think, under our
16 four-year proposal, since we are not allowed to change
17 base rates in 2024, there will be no change in base
18 rates, so you will just have the fuel piece of that,
19 which will be a much smaller number.

20 **Q Well, let's look at 2026, then. The
21 settlement will have expired by then; is that right?**

22 A (Bores) Potentially.

23 **Q And, in that year, the general body of
24 customers is expected to have costs of \$166.9 million;
25 is that right?**

1 A (Bores) Yes, that is correct.

2 Q And, also that year, the participants --
3 the -- participants are receiving a -- are expected to
4 receive a net credit of \$8.3 million; is that right?

5 A (Bores) Yes.

6 Q Meaning that, if there were no credits or
7 subscription revenue from SolarTogether, wouldn't the
8 cost to the general body of customers be lower in 2026?

9 A (Bores) Can you say that question again?
10 Sorry. I want to make sure I'm following.

11 Q Sure. Meaning, if there were no credits and
12 no subscription revenue from participants in the
13 program, wouldn't the cost to the general body of
14 customers be lower in 2026?

15 A (Bores) No, I don't think that's factually
16 correct. If you look at the -- the net-revenue
17 requirements -- and I don't know if I'm the same -- near
18 the top of the page, it shows there's \$158.6 million
19 unfavorable revenue requirement overall in 2026.

20 Q Exactly. And, yet, the general body of
21 customers has a negative net revenue requirement of
22 \$166.9 million; isn't that right?

23 A (Bores) Yes.

24 Q And a cost of \$166.9 million is more than a
25 cost of 158.6 million.

1 A (Bores) Yes, I -- I understand your question
2 now.

3 **Q In total, when considering all the**
4 **subscription revenue and all of the subscription credits**
5 **that are projected to be passed out, the credits and**
6 **revenues are expected to add a little over \$2 billion in**
7 **costs to the program; is that right?**

8 A (Bores) I -- I don't see how they add a cost
9 to the program.

10 **Q Well, if there were no subscription credits**
11 **and there were no subscription revenues, wouldn't the**
12 **benefits to the general body of customers be increased,**
13 **on a nominal basis, by a little over \$2 billion?**

14 A (Bores) Commissioners, that's -- that's not
15 the program here before you. I think, as Mr. Valle
16 talked about, this is an extension of the SolarTogether
17 program that's been highly successful.

18 And, again, we've structured the program to
19 carefully ensure there's a significant benefit to the
20 general body of customers, at the end of the day.

21 A (Valle) Commission, I'd also like to add,
22 these -- these are cherry-picking some results. If you
23 look all the way to the right side of the exhibits, you
24 see, as we designed the program, the full set of
25 benefits and, as we've talked about many times in the

1 previous docket, in these first couple of years, there
2 is -- there's a slight incremental cost to the general
3 body, but over the life of the program, there's a
4 significant amount of benefits that come back.

5 To be clear, 45 percent of the projected
6 benefits go back to the general body and, by the end of
7 the program, the participants have paid all of the costs
8 of these solar facilities.

9 Q And directing you back to my question, if
10 there were no subscription credits and no subscription
11 revenues, isn't it true that the general -- that the
12 benefits to the general body of ratepayers on
13 this sheet, on a nominal basis, would be projected to be
14 a little bit -- would be expected to increase by more
15 than \$2 billion?

16 A (Valle) I think where you're going -- excuse
17 me -- I think where you're going is, if there was no
18 program and we built the solar, it's true, the general
19 body of customers would pay for a hundred percent of the
20 cost of the solar facilities -- facilities and they
21 would receive a hundred percent of the benefits.

22 That's not this program. That was not the
23 intention of this program. That's the intent of SoBRA.
24 The intent to this program is for the participants to
25 pay 100 percent of the costs and get only 55 percent of

1 the benefits, to enable those customers to meet the
2 renewable, sustainable goals that they have.

3 **Q And you just testified that the participants**
4 **pay a hundred percent of the costs. When do they pay**
5 **it?**

6 A (Valle) They pay those costs over the life of
7 the program.

8 **Q And aren't they expected to receive everything**
9 **that they pay back plus an additional \$2 billion?**

10 A (Bores) On a nominal basis, yes, but again,
11 the general body of customers is not paying anything
12 towards the facilities, and getting 45-percent benefit.

13 **Q And just to be clear, the -- under your**
14 **projections here, on a combined basis, the general body**
15 **is expected to pay in 2020, 2021, 2022, 2023, 2024,**
16 **2025, 2026, 2029, and 2030; is that right?**

17 A (Bores) I don't agree. I -- I don't see them
18 paying in 2029, but --

19 **Q Oh, I'm sorry. I -- you are correct on that**
20 **one, but other than that correction, is that -- is that**
21 **right?**

22 A (Bores) Yes.

23 Commissioners, I don't view this different
24 than any other investment. There is a cost up front.
25 No investment we make on a long-life asset at FPL pays

1 back immediately.

2 This is no different. General body is not
3 paying -- they're paying a little bit up front to help
4 structure the program; however, the long-term, just like
5 with any other investment, there is a benefit for them.

6 A (Valle) And this -- excuse me. And this --
7 this profile is very similar to -- I think it's
8 Exhibit 622, which shows the general body of customers
9 paying -- in those first years, the revenue requirement
10 is a little higher, but then having the benefits on the
11 back end.

12 Again, the extension of the program hasn't
13 changed any of the fundamentals mechanics of how this
14 looks.

15 Q And I -- I believe you just said it's a -- a
16 little. If you add up those amounts at the -- on the
17 bottom row there, during the initial years, aren't we
18 approaching a billion dollars?

19 A (Bores) I haven't done that math.

20 Q There has been no specific carbon emissions
21 tax enacted, correct?

22 A (Bores) Not that I'm aware of yet.

23 Q And the CPVRR from emissions savings -- that's
24 basically going to -- is projected to be from a carbon
25 tax; is it not?

1 A (Bores) Yes, using an outside, independent
2 firm, we have consistently -- in all of the analyses
3 that I have sponsored or been part of before the -- this
4 Commission -- used an assumption about a carbon tax at
5 some point in the future.

6 A (Barrett) If I could just add one thing to
7 that, it's not explicitly a carbon tax, per se; it's
8 cost of compliance on a dollars-per-ton basis. So, it
9 may be a tax. It may be some other form of regulation,
10 but it's intended to reflect the increased costs.

11 Q **Fair enough.**

12 **And the CPVRR from the emissions savings from**
13 **that cost is projected to be \$540.4 million?**

14 A (Bores) Can you point me to where you're
15 pulling that number from just so --

16 Q **Yes, it's --**

17 A (Bores) -- I can verify that, please?

18 Q **I'm sorry. I think I was speaking over you.**
19 **Did you find it?**

20 A (Bores) No.

21 Q **Oh. If -- on the CPVRR column, on the row**
22 **"emissions", under "clause revenue requirements" on**
23 **Exhibit SRB-16, Page 1.**

24 A (Bores) Yes.

25 Q **And I believe, as you mentioned before, the**

1 total benefits to the general body of ratepayers is
2 projected to be \$291.7 million on a CPVRR basis.

3 A (Bores) That's correct.

4 Q And so, if no carbon costs or other mechanism
5 to -- to incur that kind of cost was implemented, the
6 net revenue requirement to the general body would be a
7 cost of \$248.7 million; is that right?

8 A (Bores) Under your hypothetical, yes; but I
9 think, sitting here today, and understanding what's
10 going on in Washington, D.C., I think it's very hard to
11 fathom that there won't be some kind of carbon-
12 compliance cost over the future.

13 Q And just to be clear, the credits paid to
14 participants in the tariff -- they don't vary depending
15 on whether a -- a carbon cost is implemented; is that
16 right?

17 A (Bores) No, they vary just based on the
18 production of the solar facilities.

19 Q What is incremental gas transport?

20 A (Bores) That is the incremental costs
21 associated with having sufficient pipeline capacity to
22 supply the gas units that are used in kind of the -- the
23 case -- the no-SolarTogether case.

24 Q And -- and so, that basically is assuming the
25 increased use of gas as the alternative.

1 A (Bores) Yes, I -- I think that's the only way
2 you can quantify the value associated with the solar
3 facilities to ensure it competes against the gas unit
4 that's -- the value solar brings is displacing gas.

5 Q And so, these CPVRR and cost projections on
6 Exhibit SRB-16, Page 1, are based on a comparison of the
7 plans presented on Exhibit SRB-14?

8 A (Bores) Yes, that is correct.

9 Q And the no- -- and "no-STE" means no
10 SolarTogether expansion, on that page?

11 A (Bores) Correct.

12 Q And in the no-SolarTogether expansion --
13 extension plan, it has a 704-megawatt gas CT unit being
14 built in 2026.

15 A (Bores) Yes.

16 Q And if I could direct your attention to
17 Exhibit No. 623, Table ES-1, this is the projected
18 capacity and firm purchase-power additions and changes
19 in FPL's ten-year site plan, isn't it?

20 A (Bores) Yes, that's what it looks like.

21 Q And in 2026, there is no gas CT unit on there
22 for planned addition, is there?

23 A (Bores) Yes. Again, as I just discussed,
24 similar to what we've done in all of our SoBRA and other
25 solar analysis, the last unit or the last solar unit

1 we -- we build is the last solar unit we build, such
2 that, when we're adding incremental solar to quantify
3 the CPVRR benefit associated with that, we don't have
4 solar competing against itself.

5 That's just not logical and wouldn't result in
6 any value. So, we have solar competing against gas, as
7 that's what creates the value of solar.

8 Q And so, I believe, as you're indicating, FPL
9 is -- has, on here, indicated a plan to build
10 370 megawatts of new solar PV?

11 A (Bores) I'm sorry. Where?

12 Q On -- on Exhibit 623, in the ten-year site
13 plan, there was an indication in 2026 to construct, by
14 FPL, 370 megawatts of solar PV.

15 A (Bores) Yes, what -- what's shown here on the
16 ten-year site plan -- I just want to be clear -- is not
17 the -- the megawatts, but essentially the firm capacity
18 that is assigned to those solar megawatts at the peak
19 hour.

20 Q And if I could direct your attention to 6- --
21 Exhibit 624, staff's 12th Data Request, FPL No. 1. And
22 this also indicates that -- this just confirms what you
23 were just saying, right -- correct, that FPL did not
24 perform an analysis that included the SolarTogether
25 extension increment as well as solar additions in the

1 **years beyond 2025?**

2 A (Bores) Where are you gathering that from this
3 page?

4 Q **Last -- sorry. At the last line -- second-to-**
5 **last sentence on the response.**

6 A (Bores) Yes, that's kind of what I just said.
7 Essentially, we don't have solar compete against itself
8 when we're doing an economic analysis.

9 Q **And -- and that's true, even if that solar, in**
10 **2026, may have been -- or even would have been more**
11 **cost-effective than the gas CT units in the no-STE plan.**

12 A (Bores) Again, how do you quantify solar
13 against solar? You can't. And that's why we've adopted
14 this long-standing practice that we've used with SoBRA
15 and all of the solar analysis we've brought before the
16 Commission to have solar compete against gas so you can
17 quantify the value of that solar.

18 Q **Isn't it true that FPL does look at the**
19 **benefits of deferring gas units?**

20 A (Bores) In what context?

21 Q **In cost-effectiveness planning, looking at**
22 **what is the cost of putting in a gas unit in 2024 versus**
23 **2026 -- isn't that -- that is something that FPL can --**
24 **can analyze and quantify.**

25 A (Bores) Well, I think the first step is FPL

1 understands, if we're building a new gas unit, is there
2 a need; do we need that gas unit.

3 If it's an existing gas unit, we're -- or
4 we're looking at an upgrade to a combined-cycle to put
5 in a more-efficient technology that will result in fuel
6 savings, yes; we're looking, hey, if we put in the new
7 technology today and it brings incremental megawatts in
8 fuel savings, does it defer a need for an additional gas
9 unit from 2025 to 2027.

10 And that is factored in as part of the CPVRR
11 analysis associated with saying should we make that
12 upgrade investment today.

13 **Q And would the avoided gas unit in 2026 that**
14 **was used in your no-STE plan -- that would not have**
15 **relied on a subscription model, correct?**

16 A (Bores) I'm sorry. I don't understand that
17 question.

18 **Q Well, SolarTogether uses a subscription model.**
19 **You both ascribe to it; is that right?**

20 A (Bores) Yes, that's the context of the
21 program.

22 **Q And that would not have been true to the**
23 **alternative gas CT plant that you looked at in the**
24 **no-STE plan.**

25 A (Valle) That's true. There's no interest

1 in -- from customers for a fossil-only program.

2 **Q If I could direct your attention to 625 --**
3 **Exhibit No. 625. Even if the settlement is approved,**
4 **FPL will not commit to avoiding any invest- --**
5 **investment in new gas combustion turbines or combined-**
6 **cycle power units; is that right?**

7 A (Bores) Yes, I -- I think this is a great
8 answer. Look, we -- we continue to be the leader in
9 solar and battery and are consistently looking at new
10 technologies, like hydrogen; however, our obligation is
11 to look at what's best for customers and do what's best
12 for customers.

13 As I just talked about, there's an upgrade to
14 our combined-cycle fleet that results in additional
15 megawatts and reduces fuel consumption and provides a
16 long-term benefit to customers. We're absolutely going
17 to analyze that and look to implement it to bring that
18 value to our customers.

19 A (Valle) I would -- I would add one comment
20 there, Commission, that a combustion turbine doesn't
21 necessarily have to combust natural gas. And that's
22 part of the green hydrogen pilot and the testing that we
23 want to go do.

24 **Q If I could next direct your attention to the**
25 **next exhibit in the pile, what's been marked as**

1 Exhibit No. 626 -- I -- I apologize. Apparently, I
2 think we have a printing error. And I'm -- I think
3 other copies might have -- also have that printing
4 error.

5 But, basically, my question is: Subject to
6 check, would you agree that SolarTogether extension is
7 expected to increase the reserve margin on FPL's system
8 to 23.3 percent in 2025?

9 A (Bores) Not having that in front of me,
10 subject to check, I would say, yes, as we are
11 accelerating solar naturally through building the
12 SolarTogether extension, but I think it is important to
13 note, I believe by 2026, we are just slightly different
14 in the reserve margin from the -- the ten-year site plan
15 or the no-STE plan; and then, by 2027, we're actually
16 below that level of the no-STE plan.

17 Q And would you agree that, all other things
18 being equal, a higher reserve margin is likely to
19 decrease the loss-of-load probability?

20 A (Bores) I do not know the answer to that
21 question.

22 Q All right. Now, on to the big one. Do you --
23 I would like to direct your attention to
24 Exhibit No. 627. And this was the workbook used to
25 calculate the CPVRR projections of Exhibit SRB-16?

1 A (Bores) Yes.

2 Q If I could direct your attention to Tab 7.

3 A (Bores) I just flip to the seventh page in
4 here?

5 Q No, they -- on the -- on the upper left-hand
6 corner on here it should indicate what tab of the
7 exhibit is being referred to. So, it's not just the
8 seventh page. It does say Tab 7 of 21 in the top
9 left-hand corner.

10 A (Bores) I'm there.

11 Q And this page contains the finance assumptions
12 regarding the SolarTogether Phase One extension; is that
13 right?

14 A (Bores) Correct.

15 Q And the cost of common equity was set at
16 10.55 percent; is that right?

17 A (Bores) Yes.

18 Q And that was also true for the finance
19 assumptions for the original phase of the project.

20 A (Bores) Yes, in performing economic analysis,
21 FPL always use -- always uses -- utilizes -- excuse
22 me -- its current authorized mid-point R- -- ROE, which,
23 under this current settlement agreement that we're still
24 operating under, is 10.55.

25 Q And under the settlement, a mid-point ROE of

1 10.6 percent has been set; is that right?

2 A (Bores) That's what's been requested, yes.

3 Q And given -- depending on what happens with
4 the treasury notes -- there's a mechanism that it could
5 potentially increase to 10.8 percent.

6 A (Bores) Yes, but no change in cash rates
7 associated with that.

8 Q And if I could direct your attention to
9 Tab 11. If I could direct you to the nominal-sum
10 revenue requirements for the expansion for the return on
11 equity, it's true that, for the SolarTogether expansion,
12 FPL projects a return on its equity of almost
13 \$2.2 billion.

14 A (Bores) Yes. Just like any investment, FPL
15 expects to earn a fair return on its investment.

16 Q And under these projections for the extension,
17 the cumula- -- cumula- -- sorry -- cumulative CPVRR for
18 the expansion is expected to cross over into the
19 positive in 2048; is that right?

20 A (Bores) Yes, that is correct. Commissioners,
21 like I mentioned earlier, this is a long-term
22 investment, a 35-year investment. And just like any
23 investment, it's not gonna pay back in the first five
24 years, ten years, or potentially even 15 years.

25 And, here, it pays back -- in 2025, last ones

1 go in service, a little over 20 years in time.

2 Q And that cumulative CPVRR crossover doesn't
3 consider the credits to the participants, correct?

4 A (Bores) No, this is just simply showing that
5 there's a CPR [sic] benefit of 425 million. And that's
6 ultimately what's used to determine the credit amount
7 that gets allocated between the general body and the
8 participants.

9 Q I'm going to put a pause on that one, but
10 we're going to come back to it. So, hold on to the big
11 one.

12 If I could direct your attention to Hearing
13 Exhibit No. 628. Am I right that, under the extension,
14 under the settlement, 40 percent of the incremental
15 capacity of SolarTogether will be allocated to
16 residential and small-business customers?

17 A (Valle) That's correct, yes.

18 Q And, in that small-business customer category,
19 it would be small businesses taking service under the
20 general-service tariff?

21 A (Valle) Yes.

22 Q And it's true that residential customers, on
23 their own, comprise over 60 percent of FPL's energy
24 sales?

25 A (Valle) Yes, that's correct.

1 **Q** **If I could direct your attention to Hearing**
2 **Exhibit No. 629.**

3 **A** (Valle) Okay.

4 **Q** **The wait-list for large commercial,**
5 **industrial, and governmental customers is already at**
6 **1,694 megawatts for SolarTogether; is that right?**

7 **A** (Valle) That was as of middle of last year,
8 when we closed the wait-list, Commissioners. One of the
9 things that we would do, if we extend this program,
10 would be to go contact those customers, understand if
11 they're still interested, and to what percentage of
12 their energy they want to offset.

13 So, I think it's a -- it's a number that needs
14 to be checked before we would firm up and determine how
15 to proceed with the new program.

16 **Q** **And that number already, though -- given the**
17 **caveat that you just said -- but that represents 193**
18 **different customers?**

19 **A** (Valle) Yes, that's correct.

20 **Q** **And it's true, isn't it, that under the**
21 **60-percent set-aside of the proposed extension, only**
22 **1,073 -- about 1,073 megawatts would be set aside for**
23 **those customers?**

24 **A** (Valle) Yes, that's correct.

25 **Q** **Would it be fair to say that the program has**

1 **been very popular with large commercial and industrial**
2 **customers?**

3 A (Valle) I think that's a fair statement,
4 Commissioners. This Commission approved, last year, in
5 January, the country's largest solar -- community solar
6 program. And we sold -- we opened enrollment for that
7 program on March 17th. And we all remember we were with
8 COVID on March 17th, last year. And we oversold the
9 program by a factor of two for this segment.

10 We, then, closed the wait-list and we continue
11 to take interest in this program from a variety of large
12 customers. These are national retail chains, hospitals,
13 colleges. Municipalities have been very interested in
14 this. So, we continue to see a very strong demand for
15 this program in that segment.

16 Q My next questions are going to be still --
17 still on SolarTogether, on the -- just the extension of
18 its own; so, the incremental amount of solar.

19 And I think we can actually -- I don't think
20 we actually need the big exhibit. I think we can do
21 that from Exhibit SRB-16, Page 3. That's a lot less
22 paper to deal with.

23 If the -- so, am I right that Page 3 of 3 of
24 Exhibit SRB-16 deals with the incremental extension of
25 the SolarTogether? This is -- this is the new

1 **SolarTogether.**

2 A (Bores) Yes.

3 Q **And with the first three years that -- where**
4 **participants are -- are participating in the program,**
5 **the non-low-income participants would provide a net**
6 **contribution of \$2.8 million to the costs of the solar;**
7 **is that right?**

8 A (Bores) What years are you looking,
9 specifically?

10 Q **So, the first three years of the program --**
11 **so, this would be 2023, 2024, and 2025.**

12 A (Bores) What was your number?

13 Q **2.8 million?**

14 A (Bores) In terms of what -- 2.8 million in
15 terms of costs, total costs?

16 Q **That they contribute 2.- -- that's there's a**
17 **net contribution from participants -- the non-low-**
18 **income -- so, this is just the regular participants --**
19 **there's a net contribution to the costs of solar from**
20 **them of \$2.8 million in those initial years.**

21 A (Bores) I -- I'm sorry. I don't see those
22 numbers. I see 600,000 in 2023; 1.7 million in 2024;
23 and 2.7 million in 2025.

24 Q **I think, if we go -- make sure we're looking**
25 **at the same thing. Are you on Page 3 of 3 of**

1 **Exhibit SRB-16?**

2 A (Bores) Yes, and we -- I thought we were
3 talking about the -- the low-income participants.

4 Q **No, the non-low-income part.**

5 A (Bores) Sorry.

6 Q **I apologize.**

7 A (Bores) Just the regular participant.

8 Q **Yes, the regular participants contribute a net**
9 **of -- in 2023, the -- the regular participants**
10 **contribute a net of \$1.2 million; is that right?**

11 A (Bores) Correct.

12 Q **And then, in 2024, it's another million**
13 **dollars.**

14 A (Bores) Yes.

15 Q **And then, in 2025, it's another \$.6 million.**

16 A (Bores) Correct.

17 Q **And that -- that's approximately \$2.8 million.**

18 A (Bores) I agree with that math.

19 Q **And over -- I mean, after that year -- so,**
20 **starting in 2026, participants start to receive a net**
21 **credit.**

22 A (Bores) Correct.

23 Q **And, in total, under the incremental extension**
24 **here -- expansion here of the extension, the regular**
25 **participants receive a net credit of -- on a nominal**

1 **basis of a little under \$1.1 billion.**

2 A (Bores) Again, yes, but that -- that's one
3 aspect of the program. I think we're forgetting, again,
4 that the participants are paying greater than a hundred
5 percent of the base revenue requirements to receive
6 55 percent of the overall benefit, with the other
7 45 percent going to the general body.

8 Q **And, again, they pay those -- those -- a**
9 **hundred percent of the costs, I think, as you say it,**
10 **over the life of the program; is that right?**

11 A (Bores) That is correct.

12 Q **And that doesn't take into account the credits**
13 **that they are receiving.**

14 A (Bores) It does take into the credits, right.
15 I think Mr. Valle did a great job talking about the --
16 the overall program design, which is to have a simple
17 payback of the participants of approximately seven
18 years.

19 The way we've constructed the program is to
20 start having credits, essentially level-ize the credits
21 over the life, paying them back a little earlier, but
22 having participants contribute greater than a hundred
23 percent of the base-revenue requirements.

24 So, at the end of the program, participants
25 get 55 percent of the benefit; and the general body, who

1 pays nothing towards those solar facilities, gets 45
2 percent of the benefit.

3 MR. LITCHFIELD: Mr. Chairman, we've been
4 going on about 45 minutes or so, now, on -- on the
5 topic of SolarTogether and, largely, it would
6 appear, re-litigating the prior case that occurred
7 about 18 months ago.

8 I mean, to a point, I understand Mr. --
9 Mr. Marshall's interest, but I -- I wonder if -- if
10 there's a specific question about this extension of
11 the SolarTogether program that we could jump to, to
12 maybe move things along.

13 MR. MARSHALL: I mean, I think we were going
14 over the extension right there. We -- we've been
15 over what were the changes to the original phase,
16 what does it look like on a combined basis, and
17 then what is the impacts of the incremental
18 extension. These are all important questions.

19 I mean, this -- this is a -- this is a -- a --
20 you know, over -- over \$11-billion program. I
21 think spending a few minutes to understand where
22 the costs and payments are -- are coming from are
23 relevant.

24 We're not being repetitive here. And, if
25 there is a repetitive question, then an objection

1 to "asked and answered" would be -- should be
2 entertained.

3 CHAIRMAN CLARK: I agree.

4 BY MR. MARSHALL:

5 Q If I could direct your attention next to
6 what's been premarked as Hearing Exhibit No. 630.

7 A (Valle) Okay.

8 Q Under the SolarTogether extension and -- and
9 the original SolarTogether combined, there will be
10 82.5 megawatts total set aside for low-income customers;
11 is that right?

12 A (Valle) That's correct.

13 Q And that's about 2.5 percent of the total of
14 the program.

15 A (Valle) Subject to check, yes, that sounds
16 about right.

17 Q And that's enough to serve between 11,700 to
18 16,500 low-income participants.

19 A (Valle) Yes, that's correct.

20 Q Would you agree that there are more than
21 16,500 people living in FPL's service territory that are
22 at or below 200 percent of the federal poverty level?

23 A (Valle) Yes, I would agree with that.

24 Q And unlike regular participants, the
25 SolarTogether credits for low-income participants are

1 not proposed to increase in the changes being made here;
2 is that right?

3 A (Valle) Counsel, give us one second just to
4 verify the tariff sheet.

5 Q Sure.

6 A (Valle) Counsel, we just checked the -- the
7 sheet just to ensure that we didn't misstate it, but
8 with the extension program, you're correct; the
9 low-income credit is still -- excuse me -- the charge is
10 still 557 and subscription credit is 627.

11 That's constant for all years. That's a
12 70-percent-for-kW-capacity credit. And the model for
13 that was kept constant. Just like the seven-year
14 payback for the general participants, the non-low-income
15 participants -- it was kept constant as well.

16 Q And that's the same as it was in the
17 originally-approved program.

18 A (Valle) Yes, that's correct.

19 Q Much to, I'm sure, everyone's relief, we are
20 moving on from SolarTogether.

21 These questions might be for Ms. Cohen, but
22 again, whoever is -- feels best-qualified, feel free to,
23 please, address.

24 If I could direct your attention to
25 Exhibit No. 631, Hearing Exhibit No. 631. Ms. Cohen, as

1 used in your settlement testimony, you used the term
2 "typical residential bill", correct?

3 A (Cohen) That's correct. It's the industry-
4 accepted term.

5 Q And that does not refer to -- that -- that
6 does not refer to the average residential bill.

7 A (Cohen) It's the typical bill, which is --
8 it's benchmarked throughout the industry by EEI, by
9 FMEA, and by this Commission in a number of different
10 forms, including different publications, and it's on
11 their website.

12 Q And so, that is not representative of FPL's
13 average residential bill.

14 A (Cohen) No. Again, it's a typical bill that's
15 used as an industry benchmark.

16 Q And so, that benchmark is based on a
17 standardized comparison using 1,000 kilowatt hours of
18 electricity usage, regardless of actual average
19 electricity usage; is that right?

20 A (Cohen) That's correct. This -- also stated
21 on this page, the average residential bill is not a
22 meaningful comparison. Average electric usage varies
23 significantly across the country due to climate,
24 weather, availability of gas, or other alternatives to
25 electronic -- electricity, and many other

1 characteristics.

2 Q And, Mr. Barrett, in your live rebuttal
3 testimony, I believe you also testified regarding how
4 FPL has one of the lowest monthly residential bills; is
5 that right?

6 A (Barrett) Yes.

7 Q If you could grab the -- the big packet in
8 front of you. This is going to be referring to Hearing
9 Exhibit No. 604, which is the third from the back. So,
10 it's -- it's very close to the back of the...

11 A (Barrett) These aren't marked.

12 MS. MONCADA: Mr. Marshall, if we could ask,
13 were those passed out after the break or this
14 morning? Mr. Litchfield and I don't have --

15 MR. MARSHALL: Yeah, those were passed out
16 this morning.

17 MS. MONCADA: They were the ones from this
18 morning.

19 MR. MARSHALL: Yeah.

20 MS. MONCADA: Thank you.

21 MR. MARSHALL: And it says, on the front,
22 description, "Florida Rising/ECOSWF/LULAC's third
23 request for production of documents, No. 25,
24 Tiffany Cohen work paper, Attachment 1-EIA."

25 MS. COHEN: I don't have it.

1 MR. BARRETT: You say it's towards the back of
2 this?

3 MR. MARSHALL: I'm sorry?

4 MR. BARRETT: You say it towards the back of
5 this stack?

6 MR. MARSHALL: Yeah, towards the very back.

7 It should be third from the back. It --

8 (Simultaneous speakers.)

9 (Discussion off the record.)

10 CHAIRMAN CLARK: All right. Does everybody
11 got it? Let's move.

12 BY MR. MARSHALL:

13 **Q If I could direct your attention to Page 5 of**
14 **that exhibit.**

15 **Do you see on that page a series of calculated**
16 **monthly bills for 2019 residential customers from**
17 **various utilities?**

18 A (Cohen) Yes.

19 **Q And Florida Power & Light is on that list.**

20 A (Cohen) Correct. This data is from EI- --
21 EIA.

22 **Q Do you have any reason to dispute the EIA data**
23 **presented here?**

24 A (Cohen) I do not. This is average bill data,
25 just FYI.

1 **Q And FPL is not -- not one of the lowest ones**
2 **on there, is it?**

3 **A (Cohen) The bill on here is \$123. This is a**
4 **function of dividing revenue by sales, I believe. It's**
5 **not the typical thousand-kilowatt-hour bill, which is**
6 **what is benchmarked throughout the industry, for many**
7 **reasons.**

8 **Q All right. This is probably also going to be**
9 **for you, Ms. Cohen. If I could direct your attention to**
10 **Hearing Exhibit No. 632.**

11 **I believe you referred to this in your -- your**
12 **oral rebuttal, but this is MFR-E1, Attachment 2 of 3.**
13 **And would you agree that this contains the revenue**
14 **requirement for each rate class based on FPL's**
15 **originally-filed cost-of-service study with an equalized**
16 **rate of return for 2022?**

17 **A (Cohen) It is. And, again, equalized is**
18 **before we apply this Commission's principle of**
19 **gradualism, which limits the rate-class increases no**
20 **more than one-and-a-half times the system average**
21 **increase.**

22 **Q And, according to this exhibit, the revenue**
23 **requirement's deficiency for the residential class in**
24 **2022 was \$396,789,000; is that right?**

25 **A (Cohen) Under the equalized cost of service,**

1 yes.

2 Q And under the settlement, the total proposed
3 increase for the residential class for 2022 is
4 \$410,769,000; is that right?

5 A (Cohen) That sounds correct. And, as I noted
6 in my oral rebuttal earlier, that's an apples-to-orange
7 comparison. It's not fair to use equalized cost of
8 service for gradualism -- it's not what this Commission
9 subscribes to -- and then compare it to a revenue
10 allocation at settlement revenue, which was a negotiated
11 compromise.

12 Q To be clear, you're -- you're not testifying,
13 are you, that the numbers presented in this hearing
14 exhibit, in MFR E1, Attachment 2 of 3, are -- are false
15 and disingenuous, are you?

16 MR. LITCHFIELD: Object to the
17 characterization, and asked and answered.

18 MR. MARSHALL: Well, we have heard testimony
19 from --

20 CHAIRMAN CLARK: Ask a question, Mr. Marshall.

21 MR. MARSHALL: Okay.

22 CHAIRMAN CLARK: Ask a question.

23 BY MR. MARSHALL:

24 Q Do you have any reason to call into question
25 the numbers presented here as filed from FPL's original

1 **cost-of-service study?**

2 A (Cohen) No, the numbers in the original cost-
3 of-service study are what they are, but what I've just
4 mentioned was they are equalized, which is before we
5 apply the Commission's principle of gradualism. It's
6 not an apples-to-apples comparison to do what we're
7 doing here and compare it to settlement revenues, which
8 uses a totally different cost-of-service methodology.

9 The parties agreed on different cost-of-
10 service methodologies than what was agreed to in our
11 original proposal.

12 **Q Did you run the revenue requirement from the**
13 **settlement through the as-filed cost-of-service study**
14 **methodology?**

15 A (Cohen) I'm sorry. Can you repeat your
16 question?

17 **Q Did you run the revenue requirement, as -- as**
18 **set by the settlement, through the as-filed cost-of-**
19 **service study?**

20 A (Cohen) I don't believe so. I believe, in
21 response to staff's -- to a data request to staff, we
22 ran the settlement revenue requirement through the final
23 cost of service -- or settlement cost of service, using
24 MDS, which was used as a proxy.

25 **Q And, just to be clear, just to make sure I'm**

1 not missing anything, there wasn't any settlement cost-
2 of-service methodology that I could review in the --
3 like, with the full MFR, as published, correct?

4 A (Cohen) That's correct. We agreed to nego- --
5 a methodology for production and transmission, and we
6 agreed to a negotiated methodology for allocating
7 distribution plant. It was not specific percentages for
8 distribution; therefore, there's not a full cost of
9 service at settlement rates.

10 Q If I could next direct your attention to
11 Exhibit No. 633, the staff's fifth data request to FPL,
12 No. 6, and to the attachment there. And this exhibit
13 contains the as-filed revenue requirement versus the
14 settlement revenue requirement for each of the rates
15 rate classes; is that right?

16 A (Cohen) Yes.

17 Q So, for example, in 2023, the general-service
18 demand classes saved between 12 percent and 20.5 percent
19 compared to what was originally proposed.

20 A (Cohen) Can you repeat your question?

21 Q The general-service demand classes, in 2023,
22 saved between 12 percent and 20.5 percent, as originally
23 proposed.

24 A (Cohen) I see between 12 and 20 percent as
25 originally proposed. One thing that's important to

1 note, again, "as originally proposed" and "as settled"
2 is using very different cost-of-service methodologies as
3 the underlying basis.

4 **Q And in that year, in 2023, the residential**
5 **class saved 1.9 percent; is that right?**

6 A (Cohen) The decrease is 1.9 percent; it's
7 \$106 million.

8 **Q And that 1.9 percent doesn't include the --**
9 **doesn't take into account the \$43.2 million in other**
10 **operating revenues?**

11 A (Cohen) It does take it into account because
12 the \$43 million of other operating revenues is less than
13 you recover than from the remaining body of customers.

14 **Q Could you -- could you explain what you mean**
15 **by that?**

16 A (Cohen) We designed the tariff rates to
17 recover a certain amount of money. Service revenues and
18 other things, such as minimum bill, reduce the amount of
19 revenue that is, then, recovered from the general body
20 of customers.

21 **Q Okay. I think I see what -- I understand what**
22 **you're saying now, but some of that -- in fact,**
23 **32 million of that \$43.2 million in other operating**
24 **revenues is from the residential class?**

25 A (Cohen) Where do you see 32 million?

1 **Q** **Sorry. If I could direct your attention,**
2 **then, to -- I hate to do this, but this is where it is.**
3 **It's back in Exhibit REB-15, Page 56.**

4 A (Cohen) REB-15?

5 **Q** **Yes.**

6 A (Barrett) The settlement agreement.

7 A (Cohen) Oh.

8 I don't think we have the same page numbers.
9 Can you tell me what you're looking at?

10 **Q** **Yes, I'm looking at -- it's part of the**
11 **settlement. It's Exhibit A to the settlement. It's**
12 **marked as Exhibit REB-15, Page 56 of 1,803.**

13 MR. LITCHFIELD: Mr. Marshall, you may need to
14 give her the -- the tariff-sheet reference, if
15 there is, in fact, one.

16 MR. MARSHALL: It's not a tariff-sheet
17 reference. This is the as-filed revenue
18 requirements from the settlement and -- and
19 basically allocates the revenue requirements and
20 compares them to the total present revenue.

21 MS. COHEN: I'm at the 32 million.

22 BY MR. MARSHALL:

23 **Q** **And so, 32 million of that 43.2 million in**
24 **other operating revenue is -- is from the residential**
25 **class; is that right?**

1 A (Cohen) It is, but this 32 million -- it
2 reduces the amount of revenue that is to be recovered
3 from the customers.

4 Q **You mean from other customers; is that right?**

5 A (Cohen) From customers.

6 Q **Well, the -- that \$32 million is still coming
7 from customers, correct?**

8 A (Cohen) Yes.

9 Q **And that -- that's from the -- and that wasn't
10 a part of FPL's original proposal in this case.**

11 A (Cohen) It was not. It was introduced in our
12 settlement agreement -- as I mentioned in my oral
13 rebuttal earlier, I filed testimony on it. It's part of
14 the settlement. We answered a number of discovery
15 questions from staff and other parties on it, and we're
16 here to talk about it today.

17 Q **And I think you've alluded to it, but just to
18 confirm, that -- that \$32 million -- that's from the new
19 minimum bill.**

20 A (Cohen) It is.

21 Q **If I could direct your attention now to
22 Hearing Exhibit No. 634 and to -- to the attachment to
23 that.**

24 **And this shows the actual number of FPL and --
25 and Gulf customers by rate class for -- for some -- for**

1 **a few recent months.**

2 A (Cohen) Yes.

3 **Q And Class GSLDT-3 has eight customers.**

4 A (Cohen) Yes.

5 **Q And directing your attention back to Hearing**
6 **Exhibit No. 633, in 2023, under the settlement, those**
7 **customers save, on average, almost \$1 million each, per**
8 **year, as compared to FPL's original proposal.**

9 A (Cohen) As I mentioned earlier, under this
10 633, the 2022 as-filed rates and the 2022 settlement
11 rates have different cost-of-service methodologies
12 underlying them.

13 As FPL proposed, as filed, in our original
14 case, this is also -- and I mentioned in my summary
15 earlier, the allocations were very different as compared
16 to the settlement rates.

17 FPL put forth its cost-of-service methodology
18 in that -- in its original filing. The intervenors put
19 forth their cost-of-service methodologies in their
20 filing. It also mentioned that the methodologies that
21 the intervenors put forth have been adopted by two other
22 Florida IOUs and approved by this Commission.

23 The settlement methodologies that were
24 ultimately agreed to as part of a negotiated compromise
25 were in between those two. So, the allocations to

1 residential, general service, general-service demand,
2 are going to be different from the as-filed case, for
3 those reasons.

4 **Q And directing your attention back to my**
5 **question, was my math correct that, in 2023, under the**
6 **settlement, those eight customers save, on average,**
7 **almost a million dollars each, as compared to FPL's**
8 **original proposal?**

9 A (Cohen) I don't think that's a fair
10 representation of -- of that, no.

11 **Q Why not?**

12 A (Cohen) You can't say \$8 million for eight
13 customers. Each customer has different load
14 characteristics, different usage.

15 **Q But, on average, per customer, wouldn't that**
16 **amount -- like, I mean -- let me put it this way: Is**
17 **eight million divided by eight approximately**
18 **one million?**

19 A (Cohen) It is, but that's -- I disagree with
20 the premise of your question. It's \$8 million for the
21 class. There are different-sized customers in the
22 class. It's not one-size-fits-all.

23 **Q And so, by that, you mean that some customers**
24 **will be saving more than a million dollars and others**
25 **less than a million dollars.**

1 A (Cohen) Yes.

2 Q And isn't it true, if you average the numbers,
3 it would be a million?

4 A (Cohen) Eight million divided by eight is a
5 million.

6 It's disingenuous to say each customer gets a
7 million dollars.

8 Q If I could direct your attention now -- we're
9 getting close to the end -- to the next hearing exhibit,
10 Exhibit No. 635, which is Florida Rising's fourth
11 production of documents request, No. 39, Attachment 1,
12 the minimum bill.

13 Ms. Cohen, this is the calculations worksheet
14 for the amount to be raised through the \$25 minimum
15 bill; is that right?

16 A (Cohen) Yes. And, again, it offsets the
17 amount of revenue that's been recovered from the general
18 body of customers. The intent is to ensure that all
19 customers contribute towards their fair share of fixed
20 system costs.

21 Q And would you agree that it indicates that
22 about 375,000 residential customers per month will be
23 impacted by the minimum bill?

24 A (Cohen) Can you point me to the 375? I
25 believe that's for '22.

1 **Q** **Sure. In -- in 2022, if you look at Column H,**
2 **Row 11, for the total number of customers for the entire**
3 **year that are impacted and divided that by -- by 12, to**
4 **get -- get the monthly number, that would be about**
5 **375,000.**

6 **A** (Cohen) Yes.

7 We've also -- we've responded to discovery as
8 well. It's about 360,000 on average, over the term.

9 **Q** **And --**

10 MR. LITCHFIELD: I'm -- I'm sorry. I'm not
11 sure that that came through. Could you repeat your
12 answer, Ms. Cohen? You need to get closer to the
13 mic.

14 MS. COHEN: It's about \$360,000 -- 360,000
15 customers, on average, over the term of the four
16 years.

17 BY MR. MARSHALL:

18 **Q** **And you don't know the income level of the FPL**
19 **customers being impacted by this minimum bill, correct?**

20 **A** (Cohen) That's correct, we do not necessarily
21 know the data or the demographics of our customer behind
22 the meter. That said, the minimum bill is intended to
23 recover costs for customers with very low usage.

24 FPL's customer charge, in 2022, is projected
25 to be \$8.99 under this proposed settlement agreement.

1 It's the lowest of all the Florida IOUs and it's among
2 the lower charges in the state of Florida.

3 Had we increased that further, that would have
4 impacted 100 percent of our customers. The intent of
5 the minimum bill is to ensure that we're recovering
6 fixed costs from customers with very low or no usage.

7 FPL must install plant and be ready and
8 willing to serve a customer's full load, even if they
9 have zero or low usage.

10 MR. MARSHALL: That's all my questions. Thank
11 you, all.

12 CHAIRMAN CLARK: Thank you, Mr. Marshall.

13 All right. Mr. Skop.

14 MS. BROWNLESS: Can we take a very brief rest,
15 here; maybe five minutes?

16 CHAIRMAN CLARK: Sure. We'll do a five-minute
17 swap-over.

18 MS. BROWNLESS: Thank you.

19 (Brief recess.)

20 CHAIRMAN CLARK: Mr. Skop, your witness.

21 MR. SKOP: Thank you, Mr. Chairman.

22 EXAMINATION

23 BY MR. SKOP:

24 Q Good afternoon, panel. I think I'll start
25 with Mr. Barrett and I'll -- I'll try and keep this

1 quick. I think the me- -- needs of the many outweigh
2 the needs of the few, and it's been a long afternoon.

3 Mr. Barrett, you mentioned the word "strategy"
4 in your oral -- oral rebutter -- excuse me -- oral
5 rebuttal -- it's getting late.

6 Do you remember that?

7 A (Barrett) I believe so.

8 Q Okay. Does strategy include maximizing
9 deployed capital and rate base to earn a regulatory rate
10 of return at the authorized mid-point ROE?

11 A (Barrett) I wouldn't say so, Commission. I
12 would say our -- our strategy is around delivering
13 customer value and also delivering fair returns for our
14 shareholder.

15 Q You would agree that FPL has modernized most
16 of its fossil-generating plant over the last decade,
17 correct?

18 A (Barrett) Correct.

19 Q So, you would also agree that a utility needs
20 to maintain additions to rate base to earn the same
21 level of earnings; is that correct?

22 A (Barrett) Could you elaborate a little bit
23 more on that?

24 Q Yeah. So, rate base less depreciation plus
25 additions maintains the same rate base, if you will?

1 A (Barrett) Correct.

2 Q And so, in terms of maximizing deployed
3 capital, you would agree that one of those new projects
4 would be the projects -- solar projects that FPL is
5 seeking to develop under the context of the proposed
6 settlement, under the SoBRA -- SoBRA recovery?

7 A (Barrett) Well, I would disagree with your
8 characterization that the goal is to maximize capital
9 additions. The goal is to bring value to customers.

10 Q But you're deploying millions of dollars of
11 assets in -- in your solar projects that will earn a
12 regulatory return on investment, correct?

13 A (Barrett) Correct, and provide a net CPVRR
14 savings for the customers. Customers are going to see
15 the re- -- the savings through the fuel portion of the
16 bill, and capital will be in the base portion of the
17 bill.

18 Q Allegedly, if -- if things work out that way.
19 Ultimately, the general body of ratepayers is on the
20 hook if the recovery costs are not fully recovered. And
21 I know you mentioned 103 percent, but we -- we can move
22 on --

23 MR. LITCHFIELD: Object. Testifying; not
24 asking questions.

25 MR. SKOP: I'm trying to get through this

1 quick. So, I can slow down, if you'd like,
2 Mr. Litchfield.

3 BY MR. SKOP:

4 **Q If I could ask you to turn to Page 6, Lines 20**
5 **and 21, of your settlement testimony, please.**

6 **You stated on Line --**

7 A (Barrett) I'm sorry. Let me -- I'm sorry.
8 Let me get there. Yes.

9 **Q Yeah, I'm --**

10 A (Barrett) Several tabs there. Page 6?

11 **Q Page 6, beginning on Line 20 and concluding on**
12 **Line 21.**

13 A (Barrett) Okay. Thank you.

14 **Q In your testimony, you stated, "The proposed**
15 **settlement agreement includes incentive provision**
16 **intended to encourage FPL to bring SoBRA sites in at**
17 **below the cost of capital", correct?**

18 A (Barrett) Correct.

19 **Q Can you explain why, in Lines 11 through 18,**
20 **that they're using the average cost of all the solar**
21 **projects as opposed to the solar site that's mentioned**
22 **in Line 20 and 21?**

23 A (Barrett) That's just the way it was
24 negotiated.

25 **Q Okay. Fair enough.**

1 If I could get you to go to Page 8 of your
2 testimony, Lines 1 and 2, please.

3 A (Barrett) Yes.

4 Q Give me a second to catch up.

5 On Pa- -- on Page 8, Line 1 and 2, you state
6 that: If a debit -- debit to expense is required to
7 keep FPL from exceeding the regulatory ROE that exceeds
8 the top of its authorized range -- do you see that?

9 A (Barrett) Yes.

10 Q Okay. So, under the proposed settlement, FPL
11 is anticipating that it could exceed its regulatory ROE
12 under the settlement terms; is that correct?

13 A (Barrett) It's pro- -- the settlement provides
14 for a situation where that would otherwise occur and
15 provides a mechanism to keep that from occurring.

16 Q Okay. So, in -- in the case of over-earning,
17 it would apply expenses to those two accounts listed in
18 your testimony; is that correct?

19 A (Barrett) Yes.

20 Q All right. If I could ask you to go to -- one
21 second -- I believe it's Page 12, subject to check, but
22 give me one second -- yes, Page 12, Lines 5 through 17.

23 A (Barrett) Okay.

24 Q Beginning on Line 7 and continuing on Line 8,
25 the proposed sett- -- excuse me -- Line 6, ending on

1 Line 8: The proposed settlement agreement is projected
2 to result in annual -- average annual increases in
3 typical residential bills in the former FPL area of
4 approximately 2.5 percent?

5 A (Barrett) Yes.

6 Q Okay. And then, continuing down to Line 10
7 and 11: Commercial and industrial customers in the
8 former FPL service area will see the minimum growth in
9 their rates of 1.1 percent -- do you see that?

10 A (Barrett) Well, it's a range of 1.1 to 3.1.

11 Q Okay. So, FPL is -- is suggesting that the
12 residential impacts could be greater under the proposed
13 settlement than the impacts to commercial and industrial
14 customers; is that correct?

15 A (Barrett) I guess it depends on which -- which
16 customers are -- are being considered in that 1.1 to
17 3.1. I think they average out to be kind of about the
18 same.

19 Q All right. I'm not sure whether -- who on the
20 panel stated it because I had an obstructed line of
21 view, but did I hear correctly that somebody stated
22 that -- that the cost of solar is less than a state-of-
23 art combined-cycle plant with a 6,000 heat rate on a
24 megawatt-per-megawatt-hour basis? Did I hear that?

25 I he- -- I heard somebody testify the cost --

1 A (Barrett) I didn't hear -- I didn't hear that.

2 Q Okay. Maybe -- I stand corrected, but I
3 thought I heard somebody making a solar cost comparison.

4 The comment was made -- I think one of
5 Mr. Marshall's first questions -- regarding Duke filing
6 a FERC complaint for the North Florida Resil- --
7 Resiliency Connector; is that correct?

8 A (Barrett) I believe that's the name of it,
9 yeah.

10 Q Okay. All right.

11 A (Barrett) The FRC.

12 Q All right. So, what are the ramifications to
13 this proposed settlement associated with that? Is -- I
14 mean, FPL is obviously -- would obviously be seeking to
15 recover costs once it's placed in service to the
16 interconnection points, as well as Gulf, but there seems
17 to be a lot of controversy surrounding that.

18 A (Valle) I -- I can chime in, first, and then
19 other panelists can talk about it, but essentially the
20 complaint, Commission, is -- is, for the North Florida
21 Resiliency Connection, the transmission line to connect
22 FPL to Gulf -- there are affected systems, like any
23 transmission line. As you flow power across that line,
24 you could impact neighboring systems.

25 We've identified a couple in the process of

1 that. So, it was not unexpected that Duke's system
2 would have some impact.

3 Southern's system also had impact. We
4 successfully negotiated an agreement with them to -- to
5 pay for some upgrades on their system.

6 And I'd say, on the Duke complaint, we're
7 simply in the process of this. And we believe Duke
8 filed a bit early in the process to -- to FERC and --
9 and, you know, we've made our case to FERC.

10 There is, obviously, a difference between what
11 Duke thinks and what we think are the necessary upgrades
12 on the system, but what I can say is, regardless of the
13 outcome of that case, that North Florida Resiliency
14 Connection will still be highly cost-effective for
15 customers.

16 **Q Thank you.**

17 **And as a follow-up question, does F- -- FPL or**
18 **NextEra have the position -- or let me -- FPL. Let me**
19 **reframe that -- have the position that -- that the --**
20 **the Duke assertions in that complaint that that project**
21 **should have gone through the Transmission Siting Act are**
22 **unfounded?**

23 A (Valle) That's correct. We -- we think that
24 is not focused on the issue at hand, which is simply
25 what is the cost of the upgrades on Duke's system. We

1 believe that they're identifying upgrades that don't
2 need to be done and that the cost for those upgrades are
3 exorbitant.

4 So, that is -- that's the nature of the
5 complaint; not the permitting process that we went
6 through.

7 Q All right. Thank you.

8 Going back to Mr. Barrett -- Mr. Barrett, you
9 stated that, in the context of the settlement, the
10 settlement must be taken as a whole and not -- without
11 modifications; is that generally correct?

12 A (Barrett) We believe that the settlement
13 represents a compromise of positions amongst all the
14 parties, and it presents a good package that we would
15 ask the Commission to consider in its entirety.

16 Q And, in that regard, FPL would stipulate, for
17 the record, that the Larsons, despite willing -- being a
18 willing participant and a party to the proceeding, were
19 not invited to participate in the settlement
20 discussions, correct?

21 MR. LITCHFIELD: Yeah, Counsel for FPL will
22 stipulate that the Larsons were not invited to
23 participate in the settlement negotiations.

24 MR. SKOP: Thank you.

25 Just a few more questions, Mr. Chairman.

1 BY MR. SKOP:

2 Q So, with respect to the -- Mr. Barrett's
3 statements, the settlement must be taken as a whole --
4 if I could turn your attention, Mr. Barrett, to what's
5 been marked as Exhibit 621 and entered into evidence,
6 which is the Commission's order, 2013-0023-S-EI -- you
7 would agree, would you not, that this order sets
8 precedent for the Commission to modify an FPL proposed
9 settlement?

10 A (Barrett) I don't know if it sets precedent or
11 not.

12 Q Okay. On Page 5 of that order, under the word
13 "decision," first sentence -- do you see that?

14 A (Barrett) Yes.

15 Q Starting with, "At the special agenda
16 conference, we expressed our concerns with the proposed
17 settlement agreement."

18 A (Barrett) I see that.

19 Q Do you see, further down in the last sentence
20 of that paragraph, the modified agreement?

21 A (Barrett) Yes.

22 Q And you would agree that the Commission
23 reduced the return on equity that was in the proposed
24 settlement?

25 A (Barrett) Yes.

1 Q And you would also agree that FPL -- I mean,
2 the Commission reduced the revenue requirement?

3 A (Barrett) Yes.

4 Q Thank you.

5 Mr. Coyne had hypothesis is his oral rebuttal
6 surrounding equity capital. And I guess he articulated
7 four or five different principles that he thought.

8 Are you aware of that, sir?

9 A (Barrett) Are you asking me or Mr. Coyne?

10 Q (Indicating.)

11 A (Coyne) Was that question for me?

12 Q Yes. I think so. I just want to make sure
13 because I -- again, obstructed line of site in the
14 panel.

15 A (Coyne) Perhaps you could just clarify the
16 question. Was it, am I aware of the points that I made
17 in -- in my oral rebuttal?

18 Q In your oral rebuttal, you stated a hypothesis
19 for why the cost of -- or equity capital has a higher
20 cost today than in years past.

21 Is that generally correct?

22 A (Coyne) Yes, I did.

23 Q Okay. And I think on Item 3 you mentioned
24 structural challenges facing the utility.

25 Do you remember that?

1 A (Coyne) I do.

2 Q Okay. But you would agree, would you not,
3 that a lot of those structural challenges you mentioned
4 are already incorporated in cost recovery -- cl- -- cost
5 recovery -- sorry -- cost-recovery clauses; are they
6 not?

7 A (Coyne) Well, the -- the issues that I
8 mentioned are broad and complex, and I don't think you
9 could say that they're all covered in cost-recovery
10 clauses.

11 Q Okay.

12 A (Coyne) But --

13 Q With respect to your comments regarding the
14 utility -- the perception of the utilities in the
15 marketplace -- do you remember that -- that comment?

16 A (Coyne) Yes, I do.

17 Q Okay. And you discussed beta?

18 A (Coyne) Yes.

19 Q Okay. And what, generally, is beta, for
20 the -- for the Commission, to understand?

21 A (Coyne) Thank you. Beta is the measure of
22 correlation between a stock and the broader marketplace.
23 And, in the context of utilities, we measure beta as the
24 relationship between utility stock prices and the market
25 as a whole, typically measured as the S&P 500.

1 So, beta is telling you how closely they're
2 moving together. If they're moving together at one --
3 beta was one, then utilities are moving -- their stock
4 prices are moving in exact tandem with the market as a
5 whole.

6 If they're moving at .5, then they'd be moving
7 at half the rate of the market, by way of correlation.

8 **Q Okay. So, you would agree, would you not,**
9 **that a beta less than one indicates stock price is less**
10 **volatile than the overall market?**

11 A (Coyne) Yes.

12 **Q Okay. Do you know what FPL's beta has been**
13 **over the past five years?**

14 A (Coyne) FPL does not have a beta.

15 **Q FPL does not have a beta?**

16 A (Coyne) No, only publicly-traded stocks have
17 betas.

18 **Q I'm sorry. Let me rephrase. NextEra -- do**
19 **you know what NextEra's betas has been over the past**
20 **five years?**

21 A (Coyne) I do not. It was not part of my proxy
22 group because it's the parent company. You typically
23 wouldn't include the parent company in the proxy group.

24 **Q Okay. Are you familiar with the investor**
25 **presentation that -- that NextEra gave to investors in**

1 **September of 2001 [sic], this month?**

2 A (Coyne) I -- I have not seen that
3 presentation, no.

4 **Q Subject to check, would you doubt that FPL's**
5 **stated --**

6 MS. MONCADA: Can you repeat that date? I --

7 MR. SKOP: Yes --

8 MS. MONCADA: I did not hear it.

9 MR. SKOP: Well, there's -- there's no -- for
10 reference, there's no specific date. It's the
11 presentation that's listed on the NextEra website
12 that was recently given a couple of days ago.

13 CHAIRMAN CLARK: I think you meant September
14 of 2021. You said September of 2001.

15 MR. SKOP: I -- I'm -- I'm sorry. I'm --

16 CHAIRMAN CLARK: 2021.

17 MR. SKOP: Yes, I'm slightly dyslexic, so,
18 sometimes I twist numbers.

19 CHAIRMAN CLARK: 2021.

20 MR. SKOP: I apologize. Yes, September 2021.

21 MR. LITCHFIELD: So -- I'm sorry,
22 Mr. Chairman. Let me make sure I understand what's
23 being requested here. Mr. Skop is asking the
24 witness to accept, subject to check, something from
25 an investor report that Mr. Skop says appeared

1 somewhere on the website at some period of time.

2 CHAIRMAN CLARK: He actually asked him if
3 he -- if he listened to the investor report, I
4 think.

5 MR. LITCHFIELD: Okay. That's a fair question
6 to start with. Thank you.

7 MR. COYNE: I have not seen it nor listened to
8 the report.

9 BY MR. SKOP:

10 Q **And -- and you've not reviewed the slide deck**
11 **that -- that NextEra gave.**

12 A (Coyne) I have not --

13 Q **The publ- --**

14 A (Coyne) I have not seen it, no.

15 Q **Okay. Subject to check, on Page 30 of that**
16 **slide deck presentation --**

17 MR. LITCHFIELD: Okay. There is no foundation
18 now. The witness has just indicated --

19 MR. SKOP: All right.

20 MR. LITCHFIELD: -- he's not familiar with it.

21 MR. SKOP: Fair enough. I'll -- Mr. --

22 Mr. Chairman, I'll withdraw that question, but I
23 would proffer that, if everyone would go to Page 30
24 on that publicly-available slide deck, F- --
25 Next- -- NextEra, NEE, is claiming that they're

1 number one in beta, in the past five years, less
2 than .7. That's the point I'm --

3 MR. LITCHFIELD: Mr. Chairman, if this were an
4 exhibit that Mr. Skop intended to use in cross-
5 examination, he had full opportunity to do that --

6 MR. SKOP: Mr. --

7 MR. LITCHFIELD: -- to bring the copies to --
8 to do so, and he's not done it.

9 MR. SKOP: Mr. Chairman, with all due
10 respect -- I appreciate what my esteemed colleague,
11 Mr. Litchfield, is stating, but this came up in --
12 in oral rebuttal.

13 So, again, I took a screenshot of it. I have
14 it on my phone. I can put it up, but I'm not going
15 to waste our time on that.

16 It's just beta came up to use as a -- as a
17 proxy for why equity capital cost is greater today.
18 And, basically, that just didn't seem to jive with
19 what is being communicated to the investment
20 community.

21 I will move on.

22 MR. COYNE: If I could address that, I would
23 like to because I think it can be a source of
24 (unintelligible) --

25 THE COURT REPORTER: I --

1 (Simultaneous speakers.)

2 MR. COYNE: -- might be able to add some
3 clarity.

4 THE COURT REPORTER: I'm sorry. You have to
5 start again. Speak directly into the microphone,
6 please.

7 CHAIRMAN CLARK: Microphone, please.

8 MR. COYNE: I apologize.

9 If I can, I would like to address the issue
10 to -- to join what I said in my oral rebuttal and
11 your question pertaining to beta because I think
12 it's an important one.

13 And what I said in my -- my oral rebuttal was
14 that beta is for utilities. And the way that I'm
15 measuring it is for the average of the proxy group
16 companies, which is representative of the industry.
17 They're 14 large utility companies.

18 And those betas have increased. And,
19 mathematically, they've gone from .717, back in
20 September 2016, when this Commission last approved
21 a settlement for FPL, to .88 in July 2021.

22 And it's important because, as opposed to
23 talking about credit ratings or 30-year bond yields
24 and other -- other indicators of what debt
25 investors are seeing in the market, this is a

1 direct indicator of what equity investors are
2 seeing in the market.

3 And what they're seeing is that utilities are
4 no longer the safe haven they used to be. They're
5 trading more like the market. They're a little bit
6 less safe and, therefore, we require a higher
7 return if you measure the impact of beta when you
8 run it through the capital asset pricing model,
9 which is how the statistic gets used.

10 So, it's direct market evidence of what, I
11 think, all of us see pertaining to where the
12 utility industry is today. Be it a gas or electric
13 utility, we're asking utilities to do something
14 different with their businesses today than they
15 were asked to do five years ago. And that's
16 reflected in these numbers.

17 MR. SKOP: Thank you.

18 Mr. Chairman, I -- just in follow-up to that
19 question.

20 BY MR. SKOP:

21 **Q You mentioned the capital asset pricing model**
22 **and you engaged in some lengthy discussion about beta,**
23 **which is seemingly contradictory to what FPL has**
24 **presented in its slide deck to the investment community.**

25 **With respect to the --**

1 MR. LITCHFIELD: Mr. Chairman, now Mr. Skop
2 is, again, testifying.

3 MR. SKOP: I -- I'm getting to a predicate to
4 ask a question, Mr. Litchfield. So, just please
5 allow me, in the interest of time.

6 BY MR. SKOP:

7 **Q You stated that -- the capital asset pricing**
8 **model in your lengthy response to the last question.**

9 **Do you know what the risk-free rate currently**
10 **is for the capital asset pricing model?**

11 A (Coyne) Well, it depends -- it depends on
12 which bond yield you'd use. If you're looking at
13 30-year bond yield?

14 **Q Yes.**

15 A (Coyne) The current -- the current rate is
16 1.- -- (unintelligible).

17 **Q Okay. And that was far --**

18 THE COURT REPORTER: Wait. Wait. Wait.

19 CHAIRMAN CLARK: Please speak into the mic.

20 THE COURT REPORTER: Yeah. Repeat that,
21 please. The current rate is -- what?

22 MR. COYNE: My apologies.

23 The current risk- -- well, if one defines the
24 risk-free rate as the 30-year government bond
25 yield, the rate is 1.909 percent, currently.

1 BY MR. SKOP:

2 Q Thank you.

3 And that current risk-free treasury yield and
4 30-year bond is significantly lower than it was when the
5 Public Service Commission adopted 10-percent ROE in the
6 2010 FPL rate case.

7 Would you agree with that?

8 A (Coyne) The -- if the -- if one measures the
9 period of time as roughly between June 2016 and
10 September 2016, the rate at that period of time was
11 2.3 percent. As I mentioned, it's currently
12 1.909 percent today.

13 But what we have to bear in mind, that this is
14 a multi-year rate program, and the cost of capital is a
15 forward-looking estimate to the cost of equity, not what
16 it is based on today's bond yield.

17 And the forecast, when I presented my direct
18 testimony, was 2.8 percent. And the forecast, today,
19 based on the most-recent consensus economics forecast is
20 3.5 percent. And both of those are well-over the number
21 that existed at the time the Commission approved the
22 2016 settlement.

23 And, as I mentioned, that's just bond yields
24 and that's just one of the inputs to the overall cost of
25 capital.

1 Q All right. Thank you.

2 And, again, I'm gonna try and wrap this up
3 here in the next five or ten minutes, so if I could get
4 everyone's cooperation.

5 With respect to -- going back to Mr. Barrett,
6 you mentioned that FPL has a strong balance sheet,
7 correct?

8 A (Barrett) Yes.

9 Q Okay. Stronger than other investor-owned
10 utilities in the state of Florida -- electric investor-
11 owned utilities?

12 A (Barrett) Yes, by design.

13 Q Okay. And it also has a high equity ratio
14 compared to the other investor-owned utilities.

15 A (Barrett) That's part of the consideration in
16 a strong financial position.

17 Q Okay. So, despite that stronger balance
18 sheet, despite higher equity ratio, and despite lower
19 interest-rate environment, in terms of being able to
20 borrow -- you know, borrowing costs, per se, this
21 Commission adopted a mid-point ROE for Duke of 9.85 in
22 the most-recent settlement.

23 Would you agree with that?

24 A (Barrett) Yes.

25 Q And this Commission adopted a 9.95 ROE for

1 **TECO in the most-recent settlement, correct?**

2 A (Barrett) I think that one is still under
3 consideration, but I -- I would just say that customers
4 don't pay ROE; they pay bills. And we have lower bills
5 than either of those companies, by a sizeable margin.

6 **Q And they would be even lower if you had an**
7 **lower ROE, so -- anyway.**

8 **To -- to your point, where you say ROE doesn't**
9 **drive bills, you would agree ROE drives revenue**
10 **requirement, correct?**

11 A (Barrett) Yes, as do -- as does the strategy
12 that we pursue to seek to create value for customers
13 across the whole bill. Our O & M performance -- I'm not
14 going to go through everything that's in our direct and
15 rebuttal testimony, but I mean, across the whole suite
16 of value that we provide for customers, bottom line is
17 the bill and reliability; 50-percent better reliability
18 than Duke; bills that are 25 bucks lower.

19 So, again, when you look at the whole
20 settlement agreement, ROE is just one component of a --
21 of a complete agreement. And we think customers
22 clearly -- these -- the rates that are a result of this
23 agreement are almost, by definition, fair, just, and
24 reasonable. They're the lowest bills amongst these
25 companies.

1 MR. SKOP: Mr. Chairman, in the interest of
2 time, no further questions.

3 CHAIRMAN CLARK: (Indicating.)

4 MR. SKOP: In the interest of time, no further
5 questions.

6 CHAIRMAN CLARK: All right. Any of the other
7 parties: SACE, Vote Solar, Walmart -- any
8 questions?

9 None.

10 Staff, any questions?

11 MS. BROWNLESS: No, sir. Thank you.

12 CHAIRMAN CLARK: All right. Commissioners.
13 We'll begin be Commissioner Passidomo.

14 COMMISSIONER PASSIDOMO: Thank you,
15 Mr. Chairman.

16 So, I just have a few questions on the reserve
17 surplus mar- -- mechanism. So, I'm hoping
18 Mr. Bores can help -- Bores can walk me through
19 this.

20 So, is it correct that, under the current
21 settlement, FPL has been able to replenish the RSAM
22 with revenues attributed to tax savings due to the
23 Tax Cuts and Jobs Act of 2017.

24 MR. BORES: Yes, but I want to elaborate on
25 that a little bit. I think the first important

1 thing to note is -- is, with those tax savings, we
2 avoided a costly surcharge for customers by
3 absorbing the cost of Hurricane Irma and then
4 Dorian and several of the other smaller storms that
5 came after that.

6 In addition, we extended the minimum term of
7 the settlement agreement from 2020 to 2021,
8 essentially giving customers another year of rate
9 stability before we came back in for this rate
10 case.

11 COMMISSIONER PASSIDOMO: Okay. You actually
12 kind of answered -- my next question was about
13 using those -- you know, that -- the RSAM to be
14 absorbing unforeseen expenses.

15 So, I guess, from that, if the -- if the
16 currently-approved RSAM has benefit, is it -- I
17 guess, is it your opinion that the current-approved
18 RSAM has benefited customers by absorbing those
19 costs, mitigating the need for storm-restoration
20 cost surcharges?

21 MR. BORES: Absolutely. I -- I think we've
22 been able to keep customer bills stable over an
23 extended period of time, as you said, avoiding
24 costly surcharges.

25 COMMISSIONER PASSIDOMO: Okay. So, I -- I

1 mean, in -- given that FP&L will not be able to --
2 if -- if you know, the current -- if the settlement
3 is approved, given that FPL will not be able to
4 replenish RSAM with the tax savings, if a major
5 storm were to impact your territory, would it be
6 necessary for FPL to implement one of those storm
7 surcharges?

8 MR. BORES: As I sit here today, I'm gonna say
9 yes. I think we did a good job showing on the
10 record that we're going to need a lot of RSAM just
11 to avoid the general base-rate increases that would
12 otherwise come in 2024 and 2025; roughly 90 percent
13 of the RSAM just to cover that revenue requirement.

14 Obviously, if we're able to create
15 productivity savings over time and have additional
16 RSAM, we will assess, can we avoid a surcharge for
17 customers, but I can't make that commitment sitting
18 here today, knowing what we have to do over the
19 next four years.

20 COMMISSIONER PASSIDOMO: Fair enough.

21 I just have -- just two more questions,
22 Mr. Chairman.

23 Just diverting to SolarTogether, Mr. Valle, in
24 your testimony, you stated there was a waiting list
25 for the SolarTogether program. And I just kind of

1 wanted to know if you can help me understand why
2 FPL is increasing the credit for the program if
3 there's a waiting list.

4 MR. VALLE: Sure. And Mr. Bores can comment,
5 too, on the credit calculation, but essentially
6 we -- we see the demand there, right. We had
7 talked about the -- the wait-list earlier for the
8 large customers in the program and we see strong
9 demand on the residential side as well.

10 But what we felt like -- and I referenced this
11 earlier, too -- the principle of extending the
12 first program. So, to do that -- we had economics
13 in the first program. We didn't want a different
14 vintage program with different economics,
15 potentially different paybacks, so they made the
16 decision to extend it.

17 When we did that -- and that's, you know,
18 produced in a lot in Mr. Bores' testimony, we had
19 to bridge those two programs, if you will. So,
20 there's three components in the program. There's
21 the cost of the capacity. There's the benefits
22 schedule, right, which we've already been through
23 in some of the exhibits. And then the escalation
24 rate of those benefits.

25 And then, obviously, behind the scenes is the

1 allocation to the different classes, but we looked
2 at that as a one-time change to the participants in
3 the first program to get everybody onto a -- a
4 common rate going forward.

5 COMMISSIONER PASSIDOMO: So -- and so, kind of
6 just to follow up with that, so then -- so,
7 you're -- if you're proposing to increase -- is
8 there a reason why you're proposing to increase
9 the -- the credit for the existing participants?

10 Do I have that correct? Are you planning to
11 do that?

12 MR. VALLE: That's correct. In April of 2022,
13 we're proposing to -- which is the two-year
14 anniversary of when we launched the program,
15 effectively, everyone -- they got the first bill --
16 that we take the participants in the original
17 program and we shift them to the new schedule,
18 right.

19 Whatever year that they're in, they move to
20 that year in the new schedule and so that they are,
21 at that point, on the same schedule that the
22 participants -- in the extended program, which
23 wouldn't come in until the end of '22 -- would be
24 jumping into.

25 So, everybody, at that point, would be on the

1 same -- same schedule going forward and have the
2 same seven-year payback, too.

3 COMMISSIONER PASSIDOMO: Okay. All right.
4 Thank you.

5 Thank you, Mr. Chair.

6 CHAIRMAN CLARK: Commissioner Fay.

7 COMMISSIONER FAY: Thank you, Mr. Chairman.

8 I guess just one -- one quick clarification --
9 maybe Ms. -- Ms. Cohen. So, it looked like, in the
10 testimony, there was some data related to the
11 number of customers that would be impacted by the
12 minimum charge.

13 I think it said 375,000, but you've stated
14 about 360 for the residential and then another 110
15 for the general; is that corr- -- is that correct?

16 MS. COHEN: That's correct.

17 COMMISSIONER FAY: Okay. Gotcha.

18 And then my other question is probably
19 directed at -- at the panel. Some of the -- the
20 balancing approach that we take for these -- these
21 settlements require all these different variables
22 be taken into account.

23 How do -- how do -- how do you recommend the
24 Commission give weight to the complexities of the
25 reduction of O & M costs, as they're presented?

1 MR. BARRETT: I guess I would suggest that, as
2 you look at the evidence in the case and you look
3 at our track record of the O & M productivity
4 improvements that we've been able to make over the
5 last four years, I would expect that we would put
6 the same diligence towards O & M productivity going
7 forward.

8 So, that's just part of our culture. It's
9 part of who we are to continue to improve, but I
10 think I mentioned in the opening that, over the
11 past four years, we've actually decreased our --
12 our O & M by 16 percent.

13 So, it's part of who we are to try to look for
14 better ways to -- to run the business, deploy smart
15 capital, to drive operating costs out of the
16 business.

17 So, I think that's how you should think about
18 O & M in the context of the -- the full settlement.
19 It unlocks the potential for us to be able to do
20 that because we won't be back here again until
21 2025.

22 COMMISSIONER FAY: Okay. Great. Thank you.
23 That's all I have, Mr. Chairman.

24 CHAIRMAN CLARK: Commissioner Graham.

25 COMMISSIONER GRAHAM: Thank you, Mr. Chairman.

1 I guess this question is for Mr. Barrett and
2 Mr. Bores. We've talked about RSAM pretty much all
3 day.

4 Remember the -- what's that old movie?
5 Philadelphia, with Denzel Washington -- explain it
6 to me like I'm a five-year-old: What is RSAM?

7 MR. BARRETT: I guess I'll take this one --
8 and you are anything but a five-year-old.

9 COMMISSIONER GRAHAM: Okay. A 50-year-old.

10 CHAIRMAN CLARK: Wait a minute.

11 (Laughter.)

12 MR. BARRETT: Essentially, the RSAM mechanism
13 is a -- uses what's called reserve surplus. It's
14 created when you compare the depreciation reserve
15 that is on our books, where we depreciate every
16 month, every year, and we accumulate that
17 depreciation.

18 It sits against the original cost of the
19 plants. And it's based on a certain set of
20 parameters: lives, salvage value at the end of the
21 life of those assets, removal costs, et cetera.

22 So, we are accruing, such that, at the end of
23 the life of the plant -- or whatever the property
24 is -- we'll have enough to have recovered the
25 original cost plus salvage value or removal costs.

1 So, that's the way we -- we set up depreciation.

2 Every so often, by Commission rule, about
3 every four years or, in the case of a settlement
4 agreement, usually it's at the end of that
5 settlement agreement, we file a new depreciation
6 study.

7 And that study takes a fresh look at all of
8 those parameters, depreciation -- I mean, excuse
9 me -- the lives, removal costs, salvage value. And
10 those things can change over time.

11 We -- we have experience since the last study
12 was done that would maybe indicate that something
13 is going to last a little bit longer than it
14 otherwise was assumed to.

15 So, just, for instance, if a -- an asset has
16 an assumed ten-year life and we start depreciating
17 10 percent a year, we get five years into it -- so,
18 it's half depreciated -- and we now do a fresh
19 study and say, it's got a life, really, of 20
20 years -- so, we've reserved half of its cost in
21 depreciation, but according to that new life, it
22 should only have 25 percent of it in the reserve.
23 So, we would say it has a surplus in depreciation.

24 So, that surplus is what enables the RSAM
25 mechanism. So, that's surplus, in my example --

1 and when you look at what we've done in the
2 settlement agreement -- is about \$1.45 billion.

3 So, in essence, we're taking that \$1.45
4 billion and asking the Commission to allow us to
5 use that -- those dollars at our discretion,
6 primarily to avoid cash-rate increases in 2024 and
7 2025, that Mr. Bores talked about, totaling almost
8 \$1.3 billion. So, that's, in essence, what it is.

9 There are many ways you can handle a surplus
10 when you have a depreciation study. One method is
11 to flow it back over the remaining life of the
12 assets. That's a much slower period of time. You
13 can flow it back over a fixed period. Depending on
14 the size of it, you know, you can pick the number
15 of years you would flow it back.

16 We're suggesting that it be flowed back -- and
17 by "flowed back", I mean using it to offset rate
18 increases -- in 2024 and 2025, over these next four
19 years.

20 COMMISSIONER GRAHAM: So, RSAM is not
21 something that's new; it something you basically
22 been (unintelligible) --

23 THE COURT REPORTER: I'm sorry. I -- I can't
24 hear you. I'm sorry.

25 COMMISSIONER GRAHAM: So, RSAM is not

1 something that's new. It's something that's been
2 in the toolbox mechanism before -- like, say, from
3 your -- your last rate case. It allows for you to,
4 for lack of a better term, stay towards the higher
5 end of the ROE.

6 MR. BARRETT: It allows us -- well, first --
7 first part first: It's not new. It's something
8 that's been in each of our last three settlement
9 agreements, starting with the 2010 agreement, 2012
10 agreement, and the 2016 agreement. And it allows
11 us to pay for the revenue requirements of the
12 business.

13 So, that means anywhere within the range would
14 be where we would target to be. So, that's --
15 that's what it's used for.

16 MR. BORES: Sorry. I just want to add to
17 that. I think I have a rebuttal exhibit, SRB-13,
18 that did a nice job laying out that we were roughly
19 95 basis points above our -- our 10.55 mid-point
20 ROE, on average, over the last settlement
21 agreement.

22 Roughly 90 basis points of that was due to the
23 O &- -- O & M productivity; meaning just five basis
24 points of the RSAM was used to help us move off the
25 mid-point.

1 COMMISSIONER GRAHAM: So, for the -- since the
2 last rate case, you've been able to stay towards
3 the top end of the ROE, correct?

4 MR. BARRETT: Yes.

5 COMMISSIONER GRAHAM: Now, this rate case,
6 you're -- you agreed to only use that S-SAM [sic]
7 to get to the mid-point, correct?

8 MR. BARRETT: No.

9 COMMISSIONER GRAHAM: I thought that what's I
10 heard you say earlier.

11 MR. BARRETT: No, that's what you heard the
12 intervenors suggest --

13 COMMISSIONER GRAHAM: Okay.

14 MR. BARRETT: -- but, I mean, we basically --
15 it's the same as we've had for the last three
16 settlement agreements.

17 COMMISSIONER GRAHAM: So, there's no changes.
18 That's just their recommendation; for the
19 intervenors to shoot for the mid-point.

20 MR. BARRETT: Yeah.

21 COMMISSIONER GRAHAM: Not for the high end.
22 What are the limitations to the ROE for 2022?

23 MR. BARRETT: The range is 9.7 to 11.7. So,
24 the upper bound would be 11.7 --

25 COMMISSIONER GRAHAM: I'm sorry. For the

1 S-SAM [sic].

2 MR. BARRETT: For the RSAM? For 2022, the
3 settlement agreement contemplates a maximum usage
4 during the full year of \$200 million of the
5 billion-450. And so, we -- we could use that
6 however we -- we need to during the year.

7 And, typically, just so everybody knows, I
8 mean, the way our business works, based on the
9 seasonality of revenues and expenses, we use a
10 little more surplus, or RSAM, in the first part of
11 the year, and then we reverse part of that in the
12 last part of the year when revenues are coming in
13 strong, during the summer and that sort of thing.

14 So, the agreement says we will -- will be at a
15 net of no more than 200 million for the full year.
16 So, that's new in this agreement, relative to our
17 filed position.

18 COMMISSIONER GRAHAM: Okay. That's all I
19 have.

20 COMMISSIONER La ROSA: Thank you,
21 Mr. Chairman.

22 I just want to discuss -- maybe this is to --
23 not everyone, whoever feels they can jump up and
24 grab this one -- talk a little bit about business
25 risk, territorial.

1 Are there any new risks with the combined Gulf
2 FP&L territory?

3 MR. BARRETT: I'll take that. I would say
4 it's enhanced or increased hurricane risk, for
5 sure. I mean, we have most of the coastline of
6 Florida now. We've got from Jacksonville all the
7 way around the peninsula up to Tampa Bay, and then
8 we've got the Panhandle.

9 So, I would say, in that specific regard, we
10 have certainly increased our -- our hurricane risk.

11 COMMISSIONER La ROSA: Anything else outside
12 of hurricanes, storms?

13 MR. BARRETT: I'm trying to think of anything
14 else.

15 We've recently converted a coal plant to gas;
16 the Crist Clean Energy Center -- the Gulf Clean
17 Energy Center, which used to be the old Crist Coal
18 Plant. So, we've increased our gas consumption a
19 little bit. And so, we've -- we've still got that
20 risk, and we've now increased it a little bit, at
21 Gulf.

22 I'm trying to think of anything else. I
23 don't -- anybody else think of anything?

24 COMMISSIONER La ROSA: I'll jump to
25 something some -- similarly, I'm going to say,

1 related. I think Mr. Coyne mentioned or referenced
2 the Georgia Power and Light rate case, when we're
3 talking about ROE.

4 Is there any comparisons to -- or
5 similarities, I should say, to what that case
6 proposed -- I know, of course, we're talking about
7 a different state -- in the similarities to what
8 you guys are proposing here in this settlement, as
9 far as the -- I mean, territory size, term, course,
10 group, what we talked about.

11 MR. COYNE: And -- and, Commissioner, are you
12 comparing -- is your question pertaining to the
13 Georgia Power and Light --

14 COMMISSIONER La ROSA: Correct.

15 MR. COYNE: -- case? I'd say the two -- well,
16 they both have a multi-year rate plan, except for
17 Florida Power & Light's is longer, four to five
18 years; Georgia's was three.

19 They both have a strong portion of their
20 generation fleet in nuclear power. I would say
21 that Florida Power & Light's risks are greater,
22 from a standpoint of hurricane risk than Georgia
23 Power's are.

24 And I think another factor between the two
25 would be capital at risk, the -- as we measure

1 capital investment over the cycle of the rate
2 period, Florida Power & Light's is at the top of
3 the scale, from a standpoint of percentage of net
4 plant, which is increasing over the rate plan.

5 And from an investment standpoint, it's good
6 to put capital to work, but it also can put strains
7 on the balance sheet. And credit rating agencies
8 and equity analysts look, with care, to make sure
9 that the proper capital recovery mechanisms are in
10 place.

11 So, I would say those are the distinguishing
12 factors that I would see.

13 COMMISSIONER La ROSA: All right. Thank you.

14 Shift over -- and this is my last question,
15 Mr. Chairman -- to the minimum bill.

16 So, 20- a \$25 bill, assuming these are mostly
17 residential -- is there a barometer to understand
18 how many customers ultimately are falling under
19 that \$25 threshold in -- in a property or in a --
20 in an account that's active as far as meaning that
21 they're actually living in the property and they're
22 utilizing and their power is turned on?

23 MS. COHEN: We're estimating it's about
24 300,000 -- 360,000 customers over -- on average.
25 Obviously, it varies every single month. We don't

1 know, behind the meter, what is truly an empty
2 house.

3 As I mentioned earlier, though, it is intended
4 to be -- to differentiate from the -- our base
5 charge, which is \$8.99 cents, in 2022.

6 If we were to increase that, that would impact
7 a hundred percent of the customers; whereas, the
8 minimum bill only impacts a small portion of
9 customers with very low usage.

10 COMMISSIONER La ROSA: All right. Very good.

11 MS. COHEN: Such as second-home owners.

12 COMMISSIONER La ROSA: Understood.

13 Thank you very much.

14 CHAIRMAN CLARK: I was gonna let this slide,
15 but I'm gonna ask two questions. Two of my
16 colleagues have kind of spurred them on for me. I
17 want to go back to the question that Commissioner
18 La Rosa asked regarding the -- the potential -- the
19 potential negative things that could have the
20 potential exposure with adding the Gulf system in.

21 Looking at some of the potential benefits
22 and -- did you calculate the benefit of diversity
23 onto the fact -- onto the FPL system, due to the
24 time-change differences? Was there any credits
25 given to -- when you look at how the rates are

1 structured between the two?

2 MR. BARRETT: Not specifically, I don't
3 believe, how the rates are structured, but we do
4 recognize that time-zone difference does provide
5 some value, particularly if we can site solar in
6 the Panhandle, a different same time zone when
7 they're not peaking at the same time because, you
8 know, solar is going to decline in its production,
9 as the day goes on. You get an extra hour of
10 production contributing to the system peak.

11 So, there's real capacity value there, and
12 that's factored into our analysis.

13 CHAIRMAN CLARK: My second question goes to
14 your reduced O & M. I notice that you've had some
15 really -- had some really good success for reducing
16 O & M costs over the last several years. You
17 attribute a lot of that, though, to the fact that
18 you're eliminating coal plants. Wouldn't that have
19 been where your higher O & M costs would have been?

20 MR. BARRETT: Commissioner, it's really across
21 the board and it really has -- is a function of
22 culture. I mean, whether it be coal plants -- and
23 yes, coal plants are people-intensive, they're
24 O & M intensive, but we have reduced our O & M in
25 pretty much every single function and -- and, in

1 large part, in the A and G functions as well.

2 All of us here can attest to the efforts that
3 we go through to -- to address our cost structure.
4 So, it's -- whether it be the power generation
5 fleet, the nuclear fleet, the wires business and in
6 the A and G functions, it's across the board.

7 We look for opportunities to deploy smart
8 capital to drive out O & M, going all the way back
9 to the smart-meter deployment where we were able to
10 get rid of all of the -- the cost of reading meters
11 and -- and that evolved into getting intelligence
12 from those meters and from smart sensors that we
13 put into the grid to minimize truck rolls, to have
14 self-healing things in -- in the grid, to
15 automatically close feeders when they open up and
16 minimize the amount of times that we have to roll
17 trucks to get out there.

18 So, it's much, much, much more than just
19 closing down a coal plant -- which, admittedly,
20 does take a lot of costs out -- but it is across
21 the board -- it is a cultural thing.

22 CHAIRMAN CLARK: All right. Commissioners,
23 any other questions?

24 All right. Ms. Brownless, I think we've
25 concluded everything. Do we need -- do we --

1 MS. BROWNLESS: We need --

2 CHAIRMAN CLARK: Mr. Litchfield, I'm sorry.

3 You've got a whole panel sitting here. Redirect.

4 MR. LITCHFIELD: Oh, thank you. Mr. Chairman,
5 so, I had two questions, but Mr. Skop already asked
6 one of them for me, so that will save us some time.

7 And then Ms. Moncada has one question as well.

8 EXAMINATION

9 BY MR. LITCHFIELD:

10 Q You -- the panel, I'll address this to the
11 panel. It probably is Mr. Bores or Mr. Barrett to
12 address it.

13 You were asked several questions on the topic
14 of RSAM, including, most recently, by Commissioner
15 Graham.

16 Can you -- can you explain for us, for the
17 Commission, the concept of cash versus non-cash
18 earnings, as that relates to RSAM?

19 A (Barrett) RSAM is not cash. I've yet to see a
20 vendor that would take RSAM in payment.

21 Seriously, it's -- it's 2024, 2025, RSAM is
22 going to enable us to avoid being back here for cash
23 rate increases from customers. I think Mr. Bores
24 identified roughly \$2 billion in cash savings that are
25 represented by those two years.

1 for the residential customers, under the intervenors'
2 proposal, cost-of-service methodology would have
3 resulted in an additional \$366 million for revenue --
4 for residential customers in 2022, and an additional
5 cost responsibility of \$391 million in 2023.

6 MR. MARSHALL: Mr. Chairman, I would just like
7 to object to it being vague as to "the
8 intervenors". If we could specify because it makes
9 it sound like that was our cost-of-service
10 methodology and, to the extent that the question is
11 asking about our cost-of-service methodology, I --
12 I'd object.

13 MS. MONCADA: That's --

14 CHAIRMAN CLARK: Could you clarify that?

15 MS. MONCADA: That's a fair request for
16 clarification. I will confess that I can't
17 clarify, but perhaps Ms. Cohen can.

18 MS. COHEN: It was proposed in the original
19 direct case by certain intervening witnesses of
20 FIPUG and FRF, I believe.

21 CHAIRMAN CLARK: Thank you.

22 Anything else?

23 MS. MONCADA: Exhibits.

24 CHAIRMAN CLARK: All right. Let's move to
25 exhibits.

1 MS. MONCADA: FPL would ask that Exhibits 478
2 through 483 and 620 be moved into the record.

3 CHAIRMAN CLARK: All right. So, ordered.

4 (Whereupon, Exhibit Nos. 478 through 483 and
5 620 were admitted into the record.)

6 MR. WRIGHT: Mr. Chairman, I would move 621,
7 please.

8 CHAIRMAN CLARK: 621, so ordered.

9 (Whereupon, Exhibits No. 621 was admitted into
10 the record.)

11 CHAIRMAN CLARK: Mr. Marshall.

12 MR. WRIGHT: Thank you.

13 MR. MARSHALL: Mr. Chairman, we would like to
14 moved 622 through 635; however, as we noted in our
15 cross, we noticed that there was -- there was an
16 Excel sheet attached to Exhibit 626 that just
17 happened to leave off a column.

18 We have since corrected that and are currently
19 distributing copies that have the full
20 interrogatory answer from FPL. And I'm hoping we
21 can get agreement to substitute 626.

22 MS. MONCADA: No objection.

23 CHAIRMAN CLARK: No objections? All right.

24 It is substituted.

25 MR. MARSHALL: Thank you.

1 (Whereupon, Exhibits Nos. 622 through 635
2 admitted into the record.)

3 CHAIRMAN CLARK: Any other exhibits that need
4 to be entered?

5 Ms. Brownless, did we cover every one of the
6 exhibits?

7 MS. BROWNLESS: Let me make sure I understand
8 what exhibits are in because we want to make sure
9 we got it straight.

10 We've got 478 through 480, 483, 481, 482; is
11 that correct, Ms. Moncada?

12 CHAIRMAN CLARK: Yes, correct.

13 MS. BROWNLESS: Okay. And then, for Florida
14 Rising, we have 622 through 635?

15 CHAIRMAN CLARK: Correct.

16 MS. BROWNLESS: Okay.

17 CHAIRMAN CLARK: With the modification.

18 MS. BROWNLESS: For Exhibit 2- -- 626.

19 CHAIRMAN CLARK: 620- --

20 MS. BROWNLESS: Six.

21 CHAIRMAN CLARK: 626, okay.

22 And for FAIR, 620.

23 MR. WRIGHT: 621. Thanks, Mr. Chairman.

24 CHAIRMAN CLARK: 621.

25 MR. WRIGHT: 620 was one of FPL's witnesses --

1 or exhibits.

2 And I think you said 621 is in, right?

3 CHAIRMAN CLARK: Yes.

4 MR. WRIGHT: Thank you.

5 CHAIRMAN CLARK: Correct.

6 MR. WRIGHT: Great.

7 MS. BROWNLESS: And for FAIR -- do we have
8 495, 496, 497, 493, 494 -- are those already in,
9 Schef?

10 MR. WRIGHT: I -- I'm highly confident that I
11 moved those in at the time the witnesses were up.
12 If -- if we would just help to avoid any confusion,
13 I'll -- I'll double-move them. Is that okay,
14 Mr. Chairman?

15 CHAIRMAN CLARK: Yeah, that's fine. I have
16 them checked. That means that --

17 MS. BROWNLESS: Okay.

18 MS. HELTON: I do, too.

19 MS. BROWNLESS: I just want to make sure we
20 got everybody covered.

21 MR. WRIGHT: Thank you.

22 CHAIRMAN CLARK: All right. Good.

23 MS. BROWNLESS: Thank you.

24 CHAIRMAN CLARK: All right. Do we have all of
25 the exhibits? Anybody -- any doubt in anybody's

1 mind?

2 MR. MARSHALL: Mr. Chairman, just as an --

3 CHAIRMAN CLARK: Mr. Marshall.

4 MR. MARSHALL: Because I know we're about
5 to -- to scatter, in the big chunk of exhibits that
6 we had admitted earlier, there are two confidential
7 exhibits in there. And I believe, under the rules,
8 those should be returned. And those are the ones
9 in the red folder.

10 CHAIRMAN CLARK: Please pull your red folders
11 out for those to be returned.

12 MR. LITCHFIELD: Yeah, thank you,
13 Mr. Marshall, for that reminder. Appreciate it
14 very much.

15 CHAIRMAN CLARK: All right. Mr. Litchfield,
16 what about your witnesses?

17 MR. LITCHFIELD: I'm sure that they would love
18 to be excused.

19 CHAIRMAN CLARK: They are hereby excused.
20 Thank you very much.

21 Let me say thank you to all of the parties
22 involved. I never anticipated when we started
23 today that we would wrap this hearing up in one
24 day. And we have three -- three on the schedule
25 for it. So, you guys did an outstanding job.

1 You should be commended for working together
2 and the spirit of cooperation in which you did it.
3 My hat is off to you. I greatly appreciate the
4 hard work.

5 Ms. Brownless.

6 MS. BROWNLESS: Okay. We have just another
7 few things we want to say. Briefs are due on
8 October 11th and shall not exceed 100 pages with
9 summaries of each position of no more than average
10 of a hundred words set off with asterisks.

11 Transcripts are daily [sic] and will be
12 available on September 24th.

13 And the post-hearing special agenda is
14 scheduled for October 26th.

15 CHAIRMAN CLARK: Any of the parties have
16 anything to come before the Commission?

17 Commissioners?

18 If not, we stand adjourned. Thank you.

19 (Whereupon, the proceedings concluded at 5:28
20 p.m.)

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF FLORIDA)
COUNTY OF LEON)

I, ANDREA KOMARIDIS WRAY, Court Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 24th day of September, 2021.



ANDREA KOMARIDIS WRAY
NOTARY PUBLIC
COMMISSION #HH 089181
EXPIRES February 9, 2025