

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of:

Petition for rate increase
by Tampa Electric Company.

DOCKET NO. 20240026-EI

Petition for approval of 2023
depreciation and dismantlement
study, by Tampa Electric Company.

DOCKET NO. 20230139-EI

In re: Petition to implement 2024
generation base rate adjustment
provisions in paragraph 4 of the
2021 stipulation and settlement
agreement, by Tampa Electric Company.

DOCKET NO. 20230090-EI

VOLUME 5 - PAGES 924 - 1090

PROCEEDINGS: HEARING

COMMISSIONERS
PARTICIPATING: CHAIRMAN MIKE LA ROSA
COMMISSIONER ART GRAHAM
COMMISSIONER GARY F. CLARK
COMMISSIONER ANDREW GILES FAY
COMMISSIONER GABRIELLA PASSIDOMO

DATE: Wednesday, August 28, 2024

TIME: Commenced: 8:00 a.m.
Concluded: 9:15 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

TRANSCRIBED BY: DEBRA R. KRICK
Court Reporter and
Notary Public in and for
the State of Florida at Large

APPEARANCES: (As heretofore noted.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESS:	PAGE
KRIS STRYKER	
Examination continued by Mr. Shrinath	929
Examination by Mr. Wright	945
Examination by Ms. Eaton	948
Examination by Mr. Sparks	950
Further Examination by Mr. Means	953
JOSE APONTE	
Examination by Mr. Wahlen	959
Prefiled Direct Testimony inserted	962
Prefiled Rebuttal Testimony inserted	1001
Examination by Ms. Christensen	1019
Examination by Mr. Marshall	1030
Examination by Mr. Moyle	1049
Examination by Ms. Amiel	1058
Further Examination by Mr. Wahlen	1079
Further Examination by Ms. Christensen	1085

1	EXHIBITS		
2	NUMBER :	ID	ADMITTED
3	19	As identified in the CEL	955
4	142	As identified in the CEL	955
5	300	As identified in the CEL	955
6	408	As identified in the CEL	955
7	457	As identified in the CEL	955
8	616	As identified in the CEL	956
9	646	As identified in the CEL	956
10	677-678	As identified in the CEL	956
11	711	As identified in the CEL	956
12	120-121	As identified in the CEL	956
13	794-795	As identified in the CEL	956
14	799	As identified in the CEL	956
15	711	As identified in the CEL	956
16	20	As identified in the CEL	1086
17	144	As identified in the CEL	1086
18	226	As identified in the CEL	1087
19	230	As identified in the CEL	1087
20	545	As identified in the CEL	1087
21	552	As identified in the CEL	1087
22	557	As identified in the CEL	1087
23	582-589	As identified in the CEL	1087
24	591	As identified in the CEL	1087
25	605	As identified in the CEL	1087

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS CONTINUED

NUMBER:		ID	ADMITTED
605	As identified in the CEL		1087
633	As identified in the CEL		1087
637	As identified in the CEL		1087
707	As identified in the CEL		1087
804	As identified in the CEL		1088

1 P R O C E E D I N G S

2 (Transcript follows in sequence from Volume
3 4.)

4 CHAIRMAN LA ROSA: All right. We are going to
5 go ahead and get started here this morning.

6 So just to kind of recap a little bit of maybe
7 what today or where we left off yesterday and what
8 kind of today will look like, so it's eight o'clock
9 now. I'm going to trying to stay consistent with
10 the break every two hours, more or less, depending
11 on whether to break in the questioning. 12 o'clock
12 we will break for lunch. We may go late today, I
13 was kind of alluding to that yesterday, so I want
14 to plan for maybe a nine o'clock finish, if we need
15 that much time this evening. And then we will have
16 a break at some point, maybe as kind of a dinner
17 break of sort that we will maybe chat a little bit
18 about around the lunch hour to kind of figure out
19 when the right time for that would be.

20 So if we are good with that, let's go ahead
21 and pick up where we left off. Mr. Stryker is here
22 in the witness box, still under oath, of course.
23 The Sierra Club was in question, so I will kick it
24 back over to you to continue. Thank you.

25 MR. SHRINATH: Great. Thank you, Mr.

1 Chairman.

2 Whereupon,

3 KRIS STRYKER

4 was recalled as a witness, having been previously duly
5 sworn to speak the truth, the whole truth, and nothing
6 but the truth, was examined and testified as follows:

7 EXAMINATION continued

8 BY MR. SHRINATH:

9 Q Good morning, Mr. Stryker.

10 A Good morning.

11 Q If you recall yesterday, we were discussing
12 EPA's Effluent Limitation Guidelines and your and TECO's
13 contention that at Big Bend 4 and Polk 1, TECO will
14 comply with the ELG rule by discharging wastewaters with
15 underground injection wells, is that correct?

16 A That's correct.

17 Q Can you please refer to CEL Exhibit 799, page
18 -- pages F6-207 and then F6-208, please?

19 So just staying on 206 -- or, sorry, 207 --
20 TECO spent about 33.3 million to build underground
21 injection wells at Big Bend, correct?

22 A That's correct.

23 Q And then moving on to the next page, TECO
24 spent another \$30 million to build underground injection
25 wells at Polk, correct?

1 A That is not correct. The total cost of the
2 wells is about \$30 million, but 50 percent of one of the
3 wells was funded by SFWMD.

4 Q Okay. So to map that out, that would be about
5 15 million, and then half, so about --

6 A Yes, so about seven-and-a-half million was
7 funded by the water management district.

8 Q Okay. Sorry, you said 22.5 million, is that
9 what you said?

10 A 7.5.

11 Q Okay, 7.5. Okay. So in total, about 22.5
12 million at Polk, correct?

13 A Correct.

14 Q Okay. And so that's about somewhere around 55
15 million total spent on underground injection wells in
16 total?

17 A That sounds about right.

18 Q And were these wells built to comply with the
19 ELG rule, which was proposed last year and adopted
20 earlier this year?

21 A They were built for multiple purposes. The
22 primary purpose of the Polk wells was part of the
23 reclaiming water initiative to allow the site to reduce
24 its groundwater withdrawal and consume more reclaimed
25 water from the City of Lakeland. And the injection

1 wells were part of the treatment process. The wells at
2 Big Bend were also built for multiple reasons, one of
3 which was compliance with the ELG rule are. The other
4 reason was just an additional way to manage stormwater
5 on the site.

6 Q Okay. Can you please now refer to CEL Exhibit
7 794, starting on F6-106? So this is Big Bend's revised
8 National Pollutant Discharge Elimination System, or
9 NPDES, permit application. Are you familiar with it?

10 A I am somewhat familiar with it. Yes.

11 Q And this -- this application -- this revised
12 application was submitted in February 2024, is that
13 right?

14 A It was originally submitted in 2016, I
15 believe. But the renewal process has been delayed, and
16 my understanding is the agency asked us for an updated
17 application because so much has changed since the time
18 the application was originally submitted.

19 Q Right. And so the update was submitted in
20 February of this year, is that right?

21 A I believe that's correct.

22 Q Okay. Great.

23 And this application generally governs TECO's
24 water discharges at Big Bend and their compliance with
25 the Clean Water Act, is that right?

1 A That's correct.

2 Q And can you please refer to page 10 of this
3 document, which is F6-115?

4 So this permit generally refers to the ELG
5 rule's zero discharge requirements, is that right?

6 A That's correct. This document, however, is
7 not a permit. It's a fact sheet that's developed by the
8 Florida Department of Environmental Protection.

9 Q Okay. And zero discharge means that no
10 untreated wastewater can be discharged into waters of
11 the United States, is that right?

12 A I believe that's correct. Yeah.

13 Q And so there is a revision in this fact sheet
14 that's attached to the permit application on this page
15 that states: The facility does generate FGD wastewater,
16 and the resulting FGD lowdown is discharged to UIC
17 wells. Therefore, the limitations of 40 CFR
18 423.13(g)(1) for FGD wastewater are not applicable in
19 this case. Do you see that?

20 A I do.

21 Q Okay. And FGD is flue gas diesel
22 fertilization, which is a product of coal combustion at
23 Big Bend, correct?

24 A It's a product of coal combustion after the
25 exhaust is treated with limestone to remove sulfur

1 dioxide emissions.

2 Q Great.

3 And UIC stands for underground injection
4 controls of deep water well -- deep wells, correct?

5 A That's correct.

6 Q So based on the highlighting in this revision,
7 it looks like after the proposed ELG rule was published
8 in March 29th, 2023, TECO went from stating that its FGD
9 wastewaters are subject to the ELG rule to stating that
10 ITS FGD wastewaters are not subject to the rule because
11 they will now inject wastewaters into these UIC wells,
12 is that correct?

13 A I don't know that we ever said that the waters
14 were subject to the ELG rule.

15 Q Well, so --

16 A This isn't our document. This is the Florida
17 DEP's document.

18 Q Okay. Well, then -- then the Florida DEP --
19 it looks like the Florida DEP said that -- added the
20 word not, and so --

21 A I don't know what the highlight means. This
22 was an addition.

23 Q Okay.

24 A I don't know what the -- who highlighted this,
25 or why it was highlighted.

1 Q Okay. What is -- I mean, presumably the
2 Florida DEP interacts with TECO in order to produce this
3 document, correct?

4 A I do believe it is a collaborative process;
5 but once again, I do not know who wrote what.

6 Q Okay. Understood.
7 But you, nevertheless, agree with this
8 statement?

9 A I agree with the statement as it is currently
10 written.

11 Q Okay. And so has EPA confirmed this language,
12 or, you know, confirmed this revision -- permit revision
13 that FGD wastewater requirements are not applicable
14 because FGD blowdown will be discharged to UIC wells?

15 A I don't know that EPA has agreed with it or
16 not. In Florida, the Florida DEP has primacy over the
17 NPDES permit program, so it doesn't require EPA's
18 approval. EPA would have the ability to review and
19 comment on the draft permit, which I don't believe this
20 has gotten to that.

21 Q Right. And like you said, this NPDES permit
22 has not been granted yet, right?

23 A That's correct. However, the EPA has been
24 reviewed and the UIC permit has been issued, which is
25 also, you know, under primacy from EPA Region 4. So the

1 UIC permit does explicitly state that FGD blowdown water
2 can be injected in the -- into the underground injection
3 wells at Big Bend.

4 Q Has TECO confirmed the accuracy of this
5 contention with -- in the NPDES with the EPA or any
6 other regulatory agency?

7 A No, we have not. As I said, the Florida DEP
8 has primacy over this program.

9 Q Okay. And so it's possible that TECO will not
10 be able to get around FGD zero discharge requirements by
11 injecting wastewater into UIC wells, correct?

12 A No. As I mentioned before, the permitting
13 agency that has authority over this program is the State
14 of Florida, Department of Environmental Protection. And
15 they have already agreed that this is a -- ELG rules are
16 not applicable to Big Bend because of the underground
17 injection control.

18 Q Understood. But EPA has not active on this --
19 this --

20 MR. MEANS: Objection. Asked and answered.

21 CHAIRMAN LA ROSA: It has been.

22 BY MR. SHRINATH:

23 Q Could you please turn to CEL Exhibit 121, and
24 see page C32-3580 EPA?

25 EPA estimated the cost of ELG compliance due

1 to dealing with FGD wastewater at Big Bend as about 129
2 million in capital costs, and about nine million in
3 annual operating and maintenance costs; is that right?
4 Have you seen this document --

5 A I will have to take your word for it because
6 there is no way I am reading that.

7 Q Have you seen this document before?

8 A If it's the same spreadsheet you shared during
9 my deposition, I saw it then.

10 Q Okay. Are you aware that EPA has estimated
11 relatively high compliance costs for FGD wastewater
12 treatment --

13 A I am.

14 Q -- at Big Bend? Okay.

15 And, Mr. Stryker, when do ELG zero discharge
16 rules go into effect?

17 A Earlier this year, I believe.

18 Q Can you please refer to CEL Exhibit 798, page
19 F6-192?

20 Have you seen this document -- this EPA
21 document before, Mr. Stryker?

22 A I saw it just recently when you guys submitted
23 it as a hearing exhibit. I had not seen it before that.

24 Q Okay. Would you accept that it was published,
25 along with EPA's 2024 update to ELG guidelines, in April

1 **of this year?**

2 A If you say so. I have no way to know its
3 source or authenticity.

4 **Q Okay. Could you turn to page four --**

5 MR. MEANS: Mr. Chairman, I object to
6 admission of this document into cross-examination
7 on the basis that the witness just said that he
8 doesn't know what this is, and there is no
9 foundation for what it is or its accuracy.

10 CHAIRMAN LA ROSA: Can you give more
11 explanation of what the exhibit is?

12 MR. SHRINATH: Mr. Chairman, this exhibit is a
13 document, something that's submitted onto the
14 Federal Register. It's a compliance cost document
15 associated with the ELG rule for whom Mr. Stryker
16 -- of which Mr. Stryker is apparently the expert
17 witness.

18 CHAIRMAN LA ROSA: Can the witness clarify
19 whether they are familiar with this document?

20 THE WITNESS: Excuse me?

21 CHAIRMAN LA ROSA: Can you clarify whether you
22 are familiar with this document?

23 THE WITNESS: I am not familiar with it.

24 CHAIRMAN LA ROSA: Okay, then sustained.

25 BY MR. SHRINATH:

1 Q Could you please turn to Exhibit 795 in the
2 CEL, page F6-120, which is the Big Bend UIC permit?

3 Are you familiar with this document, Mr.
4 Stryker?

5 A Yes, I am.

6 Q Okay. This is the permit for the two
7 underwater injection wells that TECO -- or under -- or
8 deep water injection wells that TECO built at Big Bend
9 4, correct?

10 A That's correct.

11 Q And I believe that these were built in 2023,
12 is that correct?

13 A They went into service in 2023. They were
14 being constructed over a period of probably a year or so
15 before that.

16 Q Okay. And this permit was granted by the
17 Florida Department of Environmental Protection, correct?

18 A That's correct.

19 Q If you could you turn to page three of this
20 permit, so F6-122. It states: The injection wells will
21 also be permitted to receive flue gas desulfurization,
22 or FGD wastewater, from the Tampa Electric Company's Big
23 Bend station after the submittal and department approval
24 of the analysis of the FGD waste stream.

25 Do you see that? It's the middle of the

1 **bottom paragraph on this page.**

2 A I do.

3 Q **Has TECO received this department approval?**

4 A Yes, we have.

5 Q **And when did -- when did TECO receive this**
6 **approval?**

7 A It was recently. However, that recent
8 approval was only to allow direct injection of FGD
9 wastewater -- since the initial in-service, we were
10 permitted to discharge the FGD wastewater into the well
11 as part of an intermingled waste stream, which we call a
12 recycled water system.

13 Q **Sorry, I did not understand that. Can you say**
14 **that again?**

15 A So the approval we recently received from the
16 EPA -- or from the DEP was to -- is for direct injection
17 of the FGD waste stream into the UIC well. Since day
18 one of our operation of the wells last year, we have
19 been able to discharge that same water into the wells
20 because it was mixed with other waste streams.

21 Q **Okay. Could you turn to page six of this**
22 **document, master page F6-125?**

23 **Here, the permit states: Injection of FGD**
24 **wastewater will -- is also authorized during this permit**
25 **after submittal of waste stream characteristics and**

1 department approval. The parameter table may be amended
2 based on the constituents detected in the FGD or other
3 waste treatment analysis submitted to the department.

4 Do you see where it says that?

5 A I do.

6 Q Okay. Was the parameter table amended --

7 A No, it was not.

8 Q -- departmental approval?

9 When does TECO anticipate getting EPA approval
10 of its NPDES permit with regards to the ELG compliance
11 costs?

12 A EPA approval?

13 Q Yeah.

14 A Never.

15 Q Why do you say that?

16 A Because it's not a requirement to do so in the
17 state of Florida.

18 Q It's not -- it's not a requirement in the
19 state of Florida to get EPA approval for a NPDES permit?

20 A No. As I have mentioned multiple times, in
21 Florida, Florida Department of Environmental Protection
22 has primacy over the NPDES program in the state of
23 Florida.

24 Q Interesting. Okay.

25 Mr. Stryker, I have a few questions about

1 TECO's summer and winter reserve margins. Should I ask
2 these questions, or would those be most appropriate for
3 Witness Aponte?

4 A The reserve margin questions are better for
5 Mr. Aponte.

6 Q Okay. Great.

7 Can you please refer to your testimony, page
8 seven, your, I think, direct testimony? And the master
9 page number D2-55 -- so sorry, that might be the
10 rebuttal testimony.

11 A Okay.

12 Q You state that: In addition, with the passage
13 of the Inflation Reduction Act, the federal government
14 is providing tax incentives that benefit customers.
15 Should the company delay building the solar projects,
16 the customers would not receive the benefit of the
17 additional tax incentives until later in time.

18 Do you see that?

19 A Yes, I do. That's actually on page eight.

20 Q You go on: These cost increases and the
21 additional tax credits made available under the IRA were
22 included in the solar project cost-effectiveness
23 evaluations, and these projects still provide et savings
24 to our customers.

25 I understand that TECO incorporated tax

1 credits into the cost analyses after elect -- or while
2 electing to pursue solar projects, is that right?

3 A That's correct.

4 Q And can you please refer to TECO response --
5 or FL PSC Exhibit 114, which is TECO's response to
6 Sierra Club's 50th interrogatory, master page C32-3261?

7 So the company has board-approved plans to
8 install an additional 350 megawatts of solar from 2027
9 to 2028, and an additional 745 megawatts of solar from
10 2029 to 2033, correct?

11 A Yeah. I think, just to clarify, beyond 2028,
12 the plans are preliminary, and they are just based on
13 what's in our current Ten-Year Site Plan.

14 Q Great.

15 And then could you please turn to, on the same
16 exhibit, page C32-3266?

17 The company has board-approved plans through
18 the Ten-Year Site Plan to install an additional
19 70-megawatt storage project in 2028, correct?

20 A That's correct.

21 Q Why is TECO not bringing on more than one
22 storage project in this six-year period from 2027 to
23 2033?

24 A So our basic expansion plan for storage is
25 based on when we have a need, as demonstrated by a

1 shortage in the winter reserve margin falling below 20
2 percent. We will likely, as we move along, evaluate
3 whether it makes -- whether it benefits customers
4 further to have incremental storage above and beyond
5 that. But the only need we have, as far as additional
6 capacity, is not until the winter of 2028.

7 **Q Could TECO added additional projects to ensure**
8 **enough megawattage is paired with installed solar to**
9 **meet its reserve margin while retiring other assets,**
10 **like Big Bend 4 or Polk 1?**

11 A That would be a lot of storage. And I doubt
12 we can get it added in that timeframe.

13 **Q But does TECO need all of Big Bend 4 and Polk**
14 **1's capacity to meet its winter reserve margin?**

15 A Yes, we do.

16 **Q 100 percent of the capacity to meet -- of Big**
17 **Bend 4 and Polk 1 to meet its winter reserve margin?**

18 MR. MEANS: Objection. Asked and answered.

19 CHAIRMAN LA ROSA: I am going to allow -- I am
20 going to allow the question to continue because I
21 think you are trying to get something specific.

22 THE WITNESS: Yes. As I mentioned, this
23 70-megawatt additional capacity is being built --
24 or proposed because we will have a shortage in the
25 reserve margin in that timeframe. So be default,

1 that means we need the capacity we already have
2 because we are going to need more than what we
3 currently have.

4 And any further details of that analysis I
5 would need to defer to Witness Aponte, though.

6 BY MR. SHRINATH:

7 Q Sure. And just because you said that, could
8 you -- could you please look at Exhibit 120, C32-3577?
9 And could you please zoom in on the last row?

10 Mr. Stryker, as you can see here, this
11 document shows -- this is TECO's response to a Sierra
12 Club interrogatorily. It shows that TECO's -- it shows
13 TECO's winter -- winter and summer reserve margins of --
14 the first column for each year shows the winter reserve
15 margins. The second column shows the summer reserve
16 margin. Going up to 2033, at no point does TECO's
17 planned reserve margin dip below 21 percent. So my
18 question is, how could you possibly need 100 percent of
19 Polk 1 and a Big Bend 4 to meet reserve margin when
20 you -- there is a surplus over the reserve margin?

21 A There is a surplus because if you look at the
22 bottom two rows, we are adding capacity in time to
23 maintain and keep it from falling below 20 percent. You
24 can see the second to the last row is the 70-megawatt
25 battery we were just talking about. And the row beneath

1 that is the future combustion turbine. Without those
2 future projects, it would fall below the 20-percent
3 requirement.

4 Q Okay. So -- but that 21-percent -- that
5 21-percent reserve margin assumes Polk 1 and Big Bend 4
6 are on-line, correct?

7 A That's correct.

8 Q And so in order to get back up to 20 percent,
9 if you retire Polk 1 and Big Bend 4, you wouldn't need
10 all 100 percent of the capacity at Big Bend 4 and Polk
11 1, no?

12 A I can't do the math on the fly, but are pretty
13 close to it.

14 Q Okay.

15 MR. SHRINATH: That's all my questions. Thank
16 you.

17 CHAIRMAN LA ROSA: Great. Thank you.

18 Florida Retail Federation.

19 MR. WRIGHT: Thank you, Mr. Chairman. I do
20 have very brief cross for Mr. Stryker.

21 CHAIRMAN LA ROSA: Sure.

22 EXAMINATION

23 BY MR. WRIGHT:

24 Q Good morning, Mr. Stryker.

25 A Good morning.

1 Q How are you doing?

2 A I am good. How are you?

3 Q I'm great. Thank you.

4 My name is Schef Wright. You probably know I
5 represent the Florida Retail Federation, which
6 represents a significant number of your commercial type
7 customers.

8 A I do.

9 Q I have very brief cross for you regarding your
10 company's plans and consideration of what you are
11 calling carbon capture and storage. I got used to
12 calling it carbon capture and sequestration, but that's
13 the same thing, correct?

14 A It is the same thing.

15 Q Thanks.

16 My question is -- my basic question is, I
17 think, pretty simple. What guarantee is from the
18 installation, the vendors, or whatever, what guarantees
19 does the company expect you have that the CO2 is going
20 to stay where you put it?

21 A So the main -- and I wouldn't call it a
22 guarantee, but the main assurance is via the Class VI
23 UIC Program, which is administered by the EPA, which is
24 a very rigorous permitting program to both monitor the
25 design, construction and operation of the wells.

1 It's still a permit that we are working with
2 the EPA on, so, you know, these plans are pretty far out
3 in the future, but that is the main method of
4 compliance.

5 There is also a, you know, 20- to 30-year
6 period even after you would cease injection into the
7 ground that the permittee, in this case the company,
8 would have the obligation to monitor the status of those
9 wells and make sure that there is no undo effects.

10 **Q What would happen if a well were to start to**
11 **leak the CO2 back out into the ambient atmosphere?**

12 A Really nothing of any -- I mean, you would
13 have lost what you were trying to accomplish in the
14 first place. It's not -- it's not hazardous to health,
15 except for in higher concentrations, so it would
16 disperse pretty rapidly.

17 **Q Would the company be subject to an EPA**
18 **enforcement action during the time period you mentioned?**

19 A I don't think so, because currently, there is,
20 as we spoke of before, there is not a mandate to do any
21 kind of CCS project. We are mainly, right now, looking
22 at CCS because -- well, one, we believe it would be
23 imprudent not to because of the potential economic
24 benefits to customers would be the tax credits, but also
25 the significant federal funding that we have been

1 awarded.

2 **Q Well, wouldn't you expect that the potential**
3 **for EPA enforcement would be equivalent to a mandate?**

4 A I would, but I am not -- I just don't know
5 which rule they would be enforcing it under, because
6 there is not a rule saying you have to do this.

7 **Q I understand that, and I think we all**
8 **understand this as a future scenario.**

9 A Yeah.

10 **Q My question is, what happens if it doesn't**
11 **work? That -- and I think you have answered --**

12 A I think the biggest exposure, in all -- in all
13 honesty, is the clawback provision of the 45Q tax
14 credit. If you do not keep it sequestered, then the tax
15 credit is -- basically you have to give it back. I
16 think it's less of an environmental issue in my mind.

17 **Q Thanks very much.**

18 MR. WRIGHT: That's all I have.

19 CHAIRMAN LA ROSA: Great. Thank you.

20 Walmart.

21 MS. EATON: Thank you.

22 EXAMINATION

23 BY MS. EATON:

24 **Q I have a few follow-up questions.**

25 **We do appreciate your commitment to adding**

1 clean energy to your grid and generation fleet, and have
2 a couple of questions related to collaboration with
3 customers in that regard.

4 Were you here yesterday when Ms. Sparkman was
5 testifying?

6 A I was not present in the hearing room.

7 Q Are you familiar with the optional customer
8 programs she was developing and talking about?

9 A At a very high level.

10 Q I just wondered if your team collaborated with
11 her team in gathering information from your commercial
12 and industrial customers about their sustainability and
13 renewable energy goals, and how programs could
14 ultimately be developed that -- that help Tampa Electric
15 and all the -- excuse me -- and all the customers?

16 A Yeah. So there are some members from my team
17 involved. Her team has the lead on the interface with
18 the customers, and my team is more on providing the
19 technological input to the equipment and the design of
20 potential projects.

21 Q Sure. And so at some point, your team would
22 get involved in order to provide the technical insight
23 into how to develop those programs?

24 A Correct.

25 Q And the other thing that I didn't hear you

1 mention, and perhaps this is another witness. What
2 would be -- what is Tampa's plans to do with the
3 renewable energy credits generated by these new solar
4 and battery storage facilities?

5 A So we are currently -- I don't believe it's in
6 anybody's testimony, maybe in Witness Heisey, but I do
7 know that we are currently selling the renewable energy
8 credits that we are generating, and 100 percent of the
9 proceeds flow back to customers under the -- either the
10 fuel clause or the ECRC clause. But Witness Heisey can
11 elaborate more.

12 Q Thank you.

13 MS. EATON: That's all I have. Thanks.

14 CHAIRMAN LA ROSA: Great. Thank you.

15 Staff?

16 MR. SPARKS: Staff has a couple questions.

17 EXAMINATION

18 BY MR. SPARKS:

19 Q Good morning, Mr. Stryker.

20 A Good morning.

21 Q I would like to just briefly ask you a few
22 questions about the 98.4 million funding award from the
23 Department of Energy that you discuss in your direct
24 testimony. Are you familiar with that?

25 A I am.

1 **Q What was that funding award for?**

2 A It was three different funding awards for the
3 -- so I will just take them in order.

4 One of them was a front-end engineering and
5 design study, or a FEED study, to evaluate carbon
6 capture and storage or sequestration technology in our
7 Polk Unit 2 combined-cycle. The -- and that was
8 approximately a five-million-dollar award.

9 The second award was to build upon -- on that
10 study and take the FEED study to a -- the next level,
11 which would include evaluating the storage and
12 transportation component of the project, including
13 developing permit applications. So it's really taking
14 that -- the engineering to the next level. That was --
15 that award was another \$5 million.

16 The biggest award in the \$88 million was part
17 of what's called the Carbon Safe Program. And that's to
18 do the detailed geological characterization of the
19 potential storage facility, including drilling up to two
20 wells and 3D seismic surveying.

21 **Q Could that funding have been used for**
22 **something other than carbon capture and storage**
23 **evaluation?**

24 A No, it could not.

25 **Q Is TECO using a third-party contractor for the**

1 **evaluation of this project?**

2 A Yes, we are.

3 **Q And who is that contractor?**

4 A There is a couple of them. Sargent & Lundy is
5 our engineering consultant that's doing the engineering.
6 They are the balance of -- what we call the balance of
7 planned engineering. ION Clean Energy is the technology
8 provider of the carbon capture technology. And ARI, or
9 Advanced Resources International is the -- our
10 geological consultant.

11 **Q Thank you very much.**

12 MR. SPARKS: Those are all the questions I
13 have.

14 CHAIRMAN LA ROSA: Great. Thank you.

15 Commissioners, any questions?

16 Commissioner Graham, you are recognized.

17 COMMISSIONER GRAHAM: Mr. Stryker, how are you
18 today?

19 THE WITNESS: I am good. How are you, sir?

20 COMMISSIONER GRAHAM: I have got a very
21 serious question for you. Who is responsible for
22 naming these solar plants? Bullfrog Creek,
23 Cottonmouth, Wimauma, I mean --

24 THE WITNESS: I wish it wasn't me, but, no,
25 it's kind of a -- it's kind of a collaborative

1 effort. It's funny, we've -- a lot of those names
2 have changed multiple times, but we tend to try and
3 find a water body or other geological feature
4 nearby to name them. So there actually is a
5 Bullfrog Creek, and there actually is a Cottonmouth
6 Ranch.

7 COMMISSIONER GRAHAM: Thank you.

8 CHAIRMAN LA ROSA: Excellent.

9 Commissioners, any other questions?

10 Okay seeing none, I will throw it back to TECO
11 for redirect.

12 MR. MEANS: Thank you, Mr. Chairman.

13 FURTHER EXAMINATION

14 BY MR. MEANS:

15 Q Mr. Stryker, you recall a lot of questions
16 about the CCS project today and yesterday, correct?

17 A I do.

18 Q Is Tampa Electric asking for cost recovery for
19 installation of the CCS equipment at Polk Unit 2 in this
20 case?

21 A No. As I mentioned before, the only request
22 in this case is our cost share of the DOE awards.

23 Q And do you recall a line of questioning
24 yesterday about whether there is a current emissions
25 limit for greenhouse gases for Polk Unit 2?

1 A I do.

2 Q And do you recall testifying that there is not
3 a current one?

4 A I do.

5 Q If there is not an emissions limit, why are
6 you proceeding with this CCS project now?

7 A Well, for a couple of reasons. One is the
8 current availability of federal funding that may not be
9 available in the future when there -- if and when there
10 becomes a mandate.

11 The other reason is, as I mentioned, as you
12 heard in Witness Collins' testimony, you know, we are
13 constantly looking for ways we can benefit the customer
14 and the affordability concern, and the magnitude of the
15 tax credits associated with the carbon capture project,
16 we are talking \$3 billion in tax credits over the life
17 of our projects. So we kind of feel that it would be
18 imprudent for us to not evaluate the potential of such a
19 project.

20 MR. MEANS: No further questions.

21 CHAIRMAN LA ROSA: Great. Thank you.

22 All right. Let's -- all right, let's start
23 with moving some exhibits into the record.

24 TECO, do you have any exhibits?

25 MR. MEANS: Yes. Mr. Chairman. We would move

1 Exhibits 19 and 143 into the record.

2 THE COURT: 19 and 143, any objections to
3 those?

4 Seeing no objections, show them entered into
5 the record.

6 (Whereupon, Exhibit Nos. 19 & 143 were
7 received into evidence.)

8 CHAIRMAN LA ROSA: Do any other parties have
9 any exhibits? I will start with OPC.

10 MS. WESSLING: Yes. Thank you, Mr. Chair.

11 OPC would move into the record hearing
12 Exhibits 408, 300 and 457, please.

13 THE COURT: Any objections to those exhibits?

14 Okay. Seeing none, show them entered into the
15 record.

16 (Whereupon, Exhibit Nos. 300, 408 & 457 were
17 received into evidence.)

18 CHAIRMAN LA ROSA: LULAC.

19 MR. LUEBKEMANN: Thank you, Mr. Chair.

20 LULAC would move hearing Exhibits 616, 646,
21 677, 678 and 711 into the record.

22 CHAIRMAN LA ROSA: I will give a few minutes
23 for those to catch up. Any thoughts or concerns?

24 MR. MEANS: No objection.

25 Okay. No objections. Show them entered into

1 the record.

2 (Whereupon, Exhibit Nos. 616, 646, 677, 678 &
3 711 were received into evidence.)

4 CHAIRMAN LA ROSA: Any other?

5 MR. SHRINATH: Yeah. Sierra Club would like
6 to introduce Exhibits 799, 794, 121, 795 and 120
7 into the record.

8 CHAIRMAN LA ROSA: Okay.

9 MR. MEANS: No objections.

10 CHAIRMAN LA ROSA: All right. No objections.
11 Okay. Show them entered into the record.

12 (Whereupon, Exhibit Nos. 120, 121, 794, 795 &
13 799 were received into evidence.)

14 CHAIRMAN LA ROSA: Any other intervening
15 parties have any other exhibits to enter? Seeing
16 none, I think we can go ahead and move on.

17 Mr. Stryker, you are excused. Thank you for
18 your witness testimony today.

19 (Witness excused.)

20 CHAIRMAN LA ROSA: All right. I will throw it
21 back over to TECO, you can introduce your next
22 witness.

23 MR. WAHLEN: Okay. Mr. Chair, I am --

24 CHAIRMAN LA ROSA: Yes, sir.

25 MR. WAHLEN: -- before we do that, if you

1 don't mind, I did a little lawyer math, and it
2 looks like we have got about 14 Tampa Electric
3 witnesses left and 13 intervenor witnesses, and we
4 have talked about it on the Tampa Electric side. I
5 have talked to Mr. Trierweiler and Mr. Rehwinkel.

6 Tampa Electric indicated at the Prehearing
7 Conference that we would not -- probably would not
8 cross-examine intervenor witnesses. We are
9 prepared to say today definitely that we will not
10 cross-examine any of the intervenor witnesses or
11 the staff witnesses. And we are perfectly happy to
12 have them insert their testimony into the record as
13 though read and be excused without appearing.

14 I know -- I think Public Counsel historically
15 has liked to have their witnesses make a summary.
16 They can speak of itself, but we are perfectly
17 happy for them all to be just entered into record
18 without any summary or anything.

19 We also talked a little bit -- there has been
20 discussion about outside witnesses, experts, trying
21 to get them all done tomorrow. We are fine with
22 that.

23 And I have also understood from Mr. Rehwinkel
24 that maybe they are going to do a little bit of
25 work and see if they can figure out how to do trim

1 cross-examination too. But we are working on the
2 schedule, and for planning purposes, wanted
3 everybody to know that Tampa Electric is fine with
4 all of the outside experts, out-of-town witnesses
5 appearing tomorrow. We would like ours to do that
6 too, if we can. And we will not be cross-examining
7 the intervenor or staff witnesses.

8 Thank you.

9 CHAIRMAN LA ROSA: Thank you. And I
10 appreciate the discussion back and forth to help us
11 move along.

12 I am going to consult with my staff just
13 really quickly to see if there is anything that we
14 can maybe move to expedite things. So if you maybe
15 just give me just two-and-a-half mints --

16 MR. WAHLEN: Sure.

17 CHAIRMAN LA ROSA: -- and I will come right
18 back.

19 (Brief recess.)

20 CHAIRMAN LA ROSA: All right. I think we can
21 jump back in. I got what I needed out of that. I
22 thank you for the timeout, and certainly appreciate
23 the parties on working through things, and
24 certainly, of course, will encourage to continue
25 working on things, so thank you guys.

1 Let's move back to TECO to introduce their
2 next witness.

3 MR. WAHLEN: Tampa Electric calls Jose Aponte,
4 please.

5 CHAIRMAN LA ROSA: Mr. Aponte, before you sit
6 down, I do not believe you have been administered
7 the oath yet. Would you mind stay standing and
8 raise your right hand?

9 Whereupon,

10 JOSE APONTE
11 was called as a witness, having been first duly sworn to
12 speak the truth, the whole truth, and nothing but the
13 truth, was examined and testified as follows:

14 THE WITNESS: I do.

15 CHAIRMAN LA ROSA: Excellent. Thank you.
16 Have a seat and just settle in and we will
17 give you a few seconds to get situated.

18 Mr. Wahlen, it's yours when you are ready.

19 EXAMINATION

20 BY MR. WAHLEN:

21 **Q Would you please state your name for the**
22 **record?**

23 A Jose Aponte.

24 **Q And who is your current employer, and what's**
25 **your business address?**

1 A Tampa Electric Company. Business address is
2 702 North Franklin Street, Tampa, Florida.

3 Q Thank you.

4 And did you prepare and cause to be filed in
5 this docket, on April 2nd, 2024, prepared direct
6 testimony consisting of 38 pages?

7 A Yes.

8 Q And did you also prepare and cause to be
9 filed, on July 2nd, 2024, prepared rebuttal testimony
10 consisting of 15 pages?

11 A Yes.

12 Q Do you have any additions or corrections to
13 your direct or rebuttal testimony?

14 A I do not.

15 Q If I were to ask you the questions contained
16 in your prepared direct and rebuttal testimony today,
17 would your answers be the same as those printed in your
18 testimony?

19 A Yes, they would.

20 MR. WAHLEN: Mr. Chairman, Tampa Electric
21 requests that the direct and rebuttal testimony of
22 Mr. Aponte be inserted into the record as though
23 read.

24 CHAIRMAN LA ROSA: Okay.

25 (Whereupon, prefiled direct testimony of Jose

1 Aponte was inserted.)

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **PREPARED DIRECT TESTIMONY**

3 **OF**

4 **JOSE APONTE**

5

6 **Q.** Please state your name, address, occupation, and employer.

7

8 **A.** My name is Jose Aponte. My business address is 702 N.
9 Franklin Street, Tampa, Florida 33602. I am employed by
10 Tampa Electric Company ("Tampa Electric" or the "company")
11 as the Manager Resource Planning.

12

13 **Q.** Please describe your duties and responsibilities in that
14 position.

15

16 **A.** My responsibilities include conducting economic
17 evaluations of future resource additions and analyzing the
18 economic and operational impacts to Tampa Electric's
19 system.

20

21 **Q.** Have you previously testified before the Florida Public
22 Service Commission ("Commission")?

23

24 **A.** Yes. I submitted written direct testimony in Docket Nos.
25 20190136-EI and 20200064-EI regarding the company's Third

1 and Fourth SoBRA projects, and Docket No. 20210034-EI
2 regarding the company's petition for a rate adjustment. I
3 also presented to the Commission during the Ten-Year Site
4 Plan Workshop.

5

6 **Q.** Please provide a brief outline of your educational
7 background and business experience.

8

9 **A.** I graduated from the University of South Florida with a
10 Bachelor's degree and a Master's degree in Mechanical
11 Engineering. I am a registered Project Management
12 Professional ("PMP").

13

14 I began working at Tampa Electric in 1999 as an engineer
15 in the Inventory Management and Supply Chain Logistics
16 department. In 2004, I became supervisor for the Materials
17 and Quality Assurance department at the Big Bend Power
18 Station. Since 2008, I have held several positions in the
19 Resource Planning department at Tampa Electric and
20 currently serve as the Manager of Resource Planning.

21

22 I have twenty-four years of electric utility experience
23 working in the areas of planning, systems integration,
24 data analytics, revenue requirements, project economic
25 analysis, and engineering.

1 Q. What are the purposes of your direct testimony?

2

3 A. The purposes of my direct testimony are to (1) discuss the
4 company's plans to add the Polk 1 Flexibility project
5 ("Polk 1 Flexibility") and South Tampa Resilience project
6 ("South Tampa Resilience") to our system; (2) demonstrate
7 that the Polk 1 Flexibility and South Tampa Resilience
8 projects are cost-effective; (3) discuss the company's
9 plans for 12 projects to add energy storage capacity
10 ("Future Energy Storage") and utility-scale solar
11 generating capacity ("Future Solar") to our system; and
12 (4) demonstrate that the Future Energy Storage and Future
13 Solar projects are cost-effective.

14

15 This portfolio of resource additions will operate in
16 concert to provide price stability and reliability benefits
17 for customers, and will enhance operational flexibility,
18 energy diversity, and resiliency in a cost-effective
19 manner. The proposed resource plan yields a total
20 Cumulative Present Value Revenue Requirements ("CPVRR")
21 savings to customers of approximately \$493.5 million
22 compared to a plan without these projects.

23

24 Q. Have you prepared an exhibit to support your direct
25 testimony?

1 **A.** Yes. Exhibit No. JA-1, entitled "Exhibit of Jose Aponte",
2 was prepared under my direction and supervision. The
3 contents of my exhibit were derived from the business
4 records of the company and are true and correct to the best
5 of my information and belief. It consists of 22 documents,
6 as follows:

- 7
- | | | |
|----|-----------------|---------------------------------------|
| 8 | Document No. 1 | Demand and Energy Forecast |
| 9 | Document No. 2 | Fuel Price Forecast |
| 10 | Document No. 3 | Future Project Costs per kWac |
| 11 | Document No. 4 | Polk 1 Flexibility Project Cost- |
| 12 | | Effectiveness Test |
| 13 | Document No. 5 | South Tampa Resilience Project Cost- |
| 14 | | Effectiveness Test |
| 15 | Document No. 6 | Total Energy Storage Capacity Cost- |
| 16 | | Effectiveness Test |
| 17 | Document No. 7 | Dover Energy Storage Capacity Cost- |
| 18 | | Effectiveness Test |
| 19 | Document No. 8 | Lake Mabel Energy Storage Capacity |
| 20 | | Cost-Effectiveness Test |
| 21 | Document No. 9 | Wimauma Energy Storage Capacity Cost- |
| 22 | | Effectiveness Test |
| 23 | Document No. 10 | South Tampa Energy Storage Capacity |
| 24 | | Cost-Effectiveness Test |

25

- 1 Document No. 11 Total Future Solar Cost-Effectiveness
- 2 Test
- 3 Document No. 12 Future Solar (2024 Projects) Cost-
- 4 Effectiveness Test
- 5 Document No. 13 Future Solar (2025 Projects) Cost-
- 6 Effectiveness Test
- 7 Document No. 14 Future Solar (2026 Projects) Cost-
- 8 Effectiveness Test
- 9 Document No. 15 English Creek Solar Cost-Effectiveness
- 10 Test
- 11 Document No. 16 Bullfrog Creek Solar Cost-
- 12 Effectiveness Test
- 13 Document No. 17 Duette Solar Cost-Effectiveness Test
- 14 Document No. 18 Cottonmouth Solar Cost-Effectiveness
- 15 Test
- 16 Document No. 19 Big Four Solar Cost-Effectiveness Test
- 17 Document No. 20 Farmland Solar Cost-Effectiveness Test
- 18 Document No. 21 Brewster Solar Cost-Effectiveness Test
- 19 Document No. 22 Wimauma 3 Solar Cost-Effectiveness
- 20 Test

21

22 **Q.** Are you sponsoring any sections of Tampa Electric's Minimum

23 Filing Requirement ("MFR") Schedules?

24

25 **A.** No.

1 Q. How does your testimony relate to the testimony of other
2 Tampa Electric witnesses?

3

4 A. Tampa Electric witness Carlos Aldazabal will explain how
5 the company's proposed Polk 1 Flexibility, South Tampa
6 Resilience, Future Solar, and Future Energy Storage
7 projects fit into the company's plans for its generating
8 portfolio. Tampa Electric witness Kris Stryker will explain
9 the details of the 12 Future Energy Storage and Future
10 Solar projects. He will describe the location, size,
11 timing, and projected costs of each of the 12 projects.

12

13 My direct testimony shows that Tampa Electric's proposed
14 Polk 1 Flexibility, South Tampa Resilience, Future Energy
15 Storage, and Future Solar projects are cost-effective. My
16 testimony also explains that the company's economic
17 analysis shows that a resource plan using the base fuel
18 forecast with the proposed additions is expected to save
19 customers over \$1.18 billion in fuel costs compared to a
20 resource plan without these additions. The per project fuel
21 cost savings are as follows: (1) \$178.0 million of savings
22 from the Polk 1 Flexibility and South Tampa Resilience
23 projects; (2) \$206.1 million of savings from the Future
24 Energy Storage projects; and (3) the remaining \$797.5
25 million of savings from Future Solar projects.

1 My direct testimony will also show that from a CPVRR basis,
2 the company's resource plan with the proposed additions is
3 favorable to customers by approximately \$493.4 million,
4 with \$176.9 million of the total savings anticipated to
5 come from the Polk 1 Flexibility and South Tampa Resilience
6 projects, \$151.2 million in savings from the Future Energy
7 Storage projects, and the remaining \$165.3 million in
8 savings from Future Solar projects.

9
10 The investments and operation and maintenance ("O&M")
11 expenses associated with the Polk 1 Flexibility, the 75.2
12 megawatts ("MW") South Tampa Resilience project, 115 MW of
13 Future Energy Storage, and 246.5 MW of Future Solar
14 projects are reflected in the MFR Schedules for the
15 company's proposed 2025 test year, which are jointly
16 sponsored by Mr. Aldazabal and Mr. Stryker.

17
18 Mr. Stryker presents the company's proposal for
19 recovering the investments and expenses associated with
20 the remaining 242.2 MW of Future Solar in 2026 in his
21 testimony.

22
23 Q. Please describe the process Tampa Electric employs for
24 evaluating cost-effectiveness.

25

1 **A.** Tampa Electric evaluates cost-effectiveness based on
2 whether a resource plan with the proposed project would
3 lower the company's projected system CPVRR as compared to
4 such CPVRR without the project. As part of the analysis,
5 we modeled the annual revenue requirement associated with
6 operating the company's generating portfolio with and
7 without the proposed project and used those annual amounts
8 to calculate the CPVRR with and without the proposed
9 project. This technique is widely used by electric
10 utilities during the development of integrated resource
11 plans to evaluate whether to make additions to the
12 generating portfolio.

13

14 **POLK 1 FLEXIBILITY PROJECT**

15 **Q.** Please generally describe the company's plans for Polk Unit
16 1.

17

18 **A.** The Polk 1 Flexibility project consists of converting our
19 existing Polk Unit 1 from a combined cycle unit to a
20 highly efficient simple cycle unit with the latest
21 technology to better utilize that asset. The simple cycle
22 configuration increases the unit's flexibility, allowing
23 fast starts, increased ramp rates, and lower turndowns,
24 which will allow the company to better optimize our lower
25 cost system assets. The simple cycle unit will also have

1 an improved heat rate, which, along with flexibility, are
2 the main drivers for fuel savings.

3

4 **Q.** Do you have the Polk 1 Flexibility project's projected cost
5 in dollars per kW_{ac}?

6

7 **A.** Yes. The projected costs, excluding Allowance for Funds
8 Used for Construction ("AFUDC"), were provided to me by
9 Mr. Aldazabal, who explains the cost and project schedule
10 in his direct testimony. I added the AFUDC amounts to the
11 project costs to arrive at the total project cost in
12 dollars per kW_{ac} shown in Document No. 3 of my exhibit.

13

14 **Q.** How were the AFUDC amounts included in your project costs
15 per kW_{ac} determined?

16

17 **A.** Capital spending was provided to the company's accounting
18 team, who then calculated the AFUDC for the project. The
19 AFUDC costs were provided to me and included in the cost-
20 effectiveness calculations.

21

22 **COST-EFFECTIVENESS OF THE POLK 1 FLEXIBILITY PROJECT**

23 **Q.** Is the Polk 1 Flexibility project cost-effective?

24

25 **A.** Yes. The Polk 1 Flexibility project is cost-effective.

1 Q. Please describe the analysis Tampa Electric performed to
2 evaluate the cost-effectiveness of the Polk 1 Flexibility
3 project.

4
5 A. The company performed the analysis using our Integrated
6 Resource Planning models to prepare a base case scenario
7 with Polk Unit 1 operating as a combined cycle unit. We
8 then prepared a change case scenario with Polk Unit 1
9 converted to simple cycle and compared the change case to
10 the base case. The base and change cases used production
11 cost modeling software to determine system CPVRR, including
12 fuel costs and variable O&M, and then the costs associated
13 with a change case were subtracted from the base case to
14 determine the savings.

15
16 Q. Please explain the assumptions underlying the company's
17 cost-effectiveness calculations.

18
19 A. The primary assumptions for the cost-effectiveness
20 calculations are the company's Demand and Energy Forecast,
21 the fuel price forecast, and the projected revenue
22 requirements of the Polk 1 Flexibility project. We prepared
23 our cost-effectiveness analyses with the Demand and Energy
24 Forecast used to prepare Tampa Electric's 2024 cost
25 recovery factors and its 2024 Ten Year Site Plan. A summary

1 of the values in the Demand and Energy Forecast is shown
2 in Document No. 1 of my exhibit.

3

4 The company prepared the fuel forecast using the same
5 methodology the company has used to develop its fuel price
6 forecast each year over the last decade, and it is shown
7 in Document No. 2 of my exhibit.

8

9 **Q.** How did the company calculate the annual revenue
10 requirements used in the analysis?

11

12 **A.** The company used project-specific projected costs to
13 calculate the revenue requirement. Consistent with the
14 guidelines in the 2021 Stipulation and Settlement Agreement
15 ("2021 Agreement"), approved by the Commission on November
16 10, 2021 in Order No. PSC-2021-0423-S-EI in Docket
17 20210034-EI, we updated the long-term debt rate to 5.5
18 percent to reflect the prospective long-term debt issuances
19 during the first 12 months of operations of the project.
20 The revenue requirement calculation included reasonable
21 estimates for O&M expenses, depreciation expense, and
22 taxes.

23

24 **Q.** Did the company consider AFUDC when calculating the revenue
25 requirements described above?

1 **A.** Yes. We calculated the revenue requirements with and
2 without AFUDC.

3
4 **Q.** How much fuel expense will the Polk 1 Flexibility project
5 allow the company's customers to avoid over the life of
6 the project?

7
8 **A.** Based on our base fuel forecast, we expect that the Polk 1
9 Flexibility project will save our customers approximately
10 \$40 million in fuel costs.

11
12 **Q.** Please describe the results of the company's cost-
13 effectiveness analysis for the Polk 1 Flexibility project.

14
15 **A.** Tampa Electric's analysis showed that the Polk 1
16 Flexibility project is cost effective. The CPVRR
17 differential was favorable for customers by \$166.9 million
18 before including any value for reduced emissions. Including
19 reduced emissions benefits increased the CPVRR savings from
20 the Polk 1 Flexibility project to \$170.3 million. Document
21 No. 4 of my exhibit shows the results of our analysis.

22
23 **Q.** Did the company conduct sensitivity testing on the results
24 of its cost-effectiveness analysis?

25

1 **A.** Yes. Tampa Electric tested the CPVRR savings calculated in
2 its analysis using high and low fuel price forecasts. The
3 high and low fuel forecasts were prepared contemporaneously
4 with the base fuel forecast. The results show that customer
5 savings occur under all fuel price forecast sensitivities.

6

7 **SOUTH TAMPA RESILIENCE PROJECT**

8 **Q.** Please generally describe the company's plans for the South
9 Tampa Resilience project.

10

11 **A.** The South Tampa Resilience project is a Distributed Energy
12 Resource ("DER") facility located on MacDill Air Force Base
13 ("MAFB"). It consists of four Reciprocating Internal
14 Combustion Engines ("RICE") units with a total capacity of
15 75.2 MW. Phase 1 (37.6 MW) has an expected commercial in-
16 service date of April 2025, and Phase 2 (37.6 MW) has an
17 expected commercial in-service date of June 2026.

18

19 These highly reliable, cost-effective resources are quick
20 start units that enhance the system's operational
21 flexibility compared to larger frame CT, and more
22 frequently result in fuel savings and greenhouse gas
23 emission reductions. The MAFB provided access to the site
24 in exchange for the added level of resilience to the
25 company's customers in the middle of a dense load center

1 and the base.

2

3 **Q.** Do you have the South Tampa Resilience projected cost in
4 dollars per kW_{ac}?

5

6 **A.** Yes. The projected costs, excluding AFUDC, were provided
7 to me by Mr. Aldazabal, who explains the cost and project
8 schedule in his direct testimony. I added the AFUDC amounts
9 to the project costs to arrive at the total project cost
10 in dollars per kW_{ac} shown in Document No. 3 of my exhibit.

11

12 **Q.** How were the AFUDC amounts included in your project costs
13 per kW_{ac} determined?

14

15 **A.** Capital spending was provided to the company's accounting
16 team, who then calculated the AFUDC for the project. The
17 AFUDC costs were provided to me and included in the cost-
18 effectiveness calculations.

19

20 **COST-EFFECTIVENESS OF THE SOUTH TAMPA RESILIENCE PROJECT**

21 **Q.** Is the South Tampa Resilience project cost-effective?

22

23 **A.** Yes. The South Tampa Resilience project is cost-effective.

24

25 **Q.** Please describe the analysis Tampa Electric performed to

1 evaluate the cost-effectiveness of the South Tampa
2 Resilience project.

3

4 **A.** Tampa Electric performed the analysis using our Integrated
5 Resource Planning models to prepare a base case scenario
6 without the four reciprocating engines. We then prepared a
7 change case scenario with South Tampa Resilience
8 reciprocating engines and compared the change case to the
9 base case. The base and change cases used production cost
10 modeling software to determine system CPVRR, including fuel
11 and variable O&M costs, and then the costs associated with
12 the change case were subtracted from the base case to
13 determine the savings.

14

15 **Q.** Please explain the assumptions underlying the company's
16 cost-effectiveness calculations.

17

18 **A.** The primary assumptions for the cost-effectiveness
19 calculations are the company's Demand and Energy Forecast,
20 the fuel price forecast, and the projected revenue
21 requirements of the South Tampa Resilience project.

22

23 We prepared our cost-effectiveness analysis with the Demand
24 and Energy Forecast used to prepare Tampa Electric's 2024
25 cost recovery factors and its 2024 Ten Year Site Plan. A

1 summary of the values in the Demand and Energy Forecast is
2 shown in Document No. 1 of my exhibit.

3

4 The company prepared the fuel forecast using the same
5 methodology the company has used to develop its fuel price
6 forecast each year over the last decade, and it is shown
7 in Document No. 2 of my exhibit.

8

9 **Q.** How did the company calculate the annual revenue
10 requirements used in the analysis?

11

12 **A.** The company used project-specific projected costs to
13 calculate the revenue requirement. Consistent with the
14 guidelines in the 2021 Agreement, we updated the long-term
15 debt rate to 5.5 percent to reflect the prospective long-
16 term debt issuances during the first 12 months of
17 operations of the project. The revenue requirement
18 calculation included reasonable estimates for O&M
19 expenses, depreciation expense, and taxes.

20

21 **Q.** Did the company consider AFUDC when calculating the revenue
22 requirements described above?

23

24 **A.** Yes. We calculated the revenue requirements with and
25 without AFUDC.

1 Q. How much fuel expense will the South Tampa Resilience
2 project allow the company's customers to avoid over the
3 life of the project?
4

5 A. Based on our base fuel forecast, we expect the South Tampa
6 Resilience project to save our customers approximately
7 \$137.9 million in fuel costs.
8

9 Q. Please describe the results of the company's cost-
10 effectiveness analysis.
11

12 A. Our analysis showed that the South Tampa Resilience project
13 is cost-effective. The CPVRR differential was favorable
14 for customers by \$10.0 million before including any value
15 for reduced emissions. Including reduced emissions
16 benefits increased the CPVRR savings from South Tampa
17 Resilience project to \$32.4 million. Document No. 5 of my
18 exhibit shows the results of our analysis.
19

20 Q. Did the company conduct sensitivity testing on the results
21 of its cost-effectiveness analysis?
22

23 A. Yes. Tampa Electric tested the CPVRR savings calculated in
24 its analysis using high and low fuel price forecasts. The
25 high and low fuel forecasts were prepared contemporaneously

1 with the base fuel forecast. The results show that customer
2 savings occur under the base and high fuel price forecast
3 sensitivities.

4

5 **TAMPA ELECTRIC'S PLAN FOR FUTURE ENERGY STORAGE PROJECTS**

6 **Q.** Please generally describe the company's plans to build
7 Future Energy Storage Capacity.

8

9 **A.** Tampa Electric plans to add a total of 115 MW of utility-
10 scale energy storage capacity projects located across four
11 sites inside its service territory by April 2025: (1)
12 Dover; (2) Lake Mabel; (3) Wimauma; and (4) South Tampa.
13 These projects will help the company maintain the required
14 winter capacity reserve margin as peak load grows with
15 increased customers. Additionally, the projects will
16 provide fuel savings for customers through energy
17 arbitrage, where energy is stored during off-peak hours
18 when electricity prices are cheapest and used during on-
19 peak hours when electricity prices are highest.

20

21 The Lake Mabel Future Energy Storage Capacity project has
22 the added benefit of eliminating an otherwise necessary
23 transmission upgrade by locating an energy source close to
24 a high load area.

25

1 Q. Do you have a list of the Future Energy Storage projects
2 and their projected costs in dollars per kW_{ac}?

3

4 A. Yes. The projected costs, excluding AFUDC, were provided
5 to me by Mr. Stryker, who explains the costs and project
6 schedules in his direct testimony. I added the AFUDC
7 amounts to the project costs to arrive at the total project
8 costs in dollars per kW_{ac} shown in Document No. 3 of my
9 exhibit.

10

11 Q. How were the AFUDC amounts included in your project costs
12 per kW_{ac} determined?

13

14 A. Capital spending was provided to the company's accounting
15 team, who then calculated the AFUDC per project. These
16 AFUDC costs were provided to me and included in the cost-
17 effectiveness calculations.

18

19 **COST-EFFECTIVENESS OF THE FUTURE ENERGY STORAGE PROJECTS**

20 Q. Are the planned Future Energy Storage projects cost-
21 effective?

22

23 A. Yes. The planned Future Energy Storage projects are cost-
24 effective in total, and on an individual project basis.

25

1 Q. Please describe the analyses Tampa Electric performed to
2 evaluate the cost-effectiveness of the Future Energy
3 Storage projects.

4
5 A. The company performed the analyses using our Integrated
6 Resource Planning models to prepare a base case scenario
7 without the planned energy storage capacity projects. We
8 then prepared change case scenarios for the 115 MW in
9 total, and for each individual project, and compared the
10 change cases to the base case. The base case and change
11 cases used production cost modeling software to determine
12 system CPVRR, including fuel and variable O&M costs, and
13 then the costs associated with the change cases were
14 subtracted from the base case to determine the savings.

15
16 Q. Please explain the assumptions underlying the company's
17 cost-effectiveness calculations.

18
19 A. The primary assumptions for the cost-effectiveness
20 calculations are the company's Demand and Energy Forecast,
21 the fuel price forecast, and the projected revenue
22 requirements of the planned energy storage capacity
23 projects.

24
25 We prepared our cost-effectiveness analyses with the Demand

1 and Energy Forecast used to prepare Tampa Electric's 2024
2 cost recovery factors and its 2024 Ten Year Site Plan. A
3 summary of the values in the Demand and Energy Forecast is
4 shown in Document No. 1 of my exhibit.

5
6 The company prepared the fuel forecast using the same
7 methodology the company has used to develop its fuel price
8 forecast each year over the last decade, and it is shown
9 in Document No. 2 of my exhibit.

10

11 **Q.** How did the company calculate the annual revenue
12 requirements used in the analysis?

13

14 **A.** The company used project-specific projected costs to
15 calculate a revenue requirement by project, and in total.
16 Consistent with the guidelines in the 2021 Agreement, we
17 updated the long-term debt rate to 5.5 percent to reflect
18 the prospective long-term debt issuances during the first
19 12 months of operations of the projects. The investment
20 tax credits associated with the energy storage capacity
21 projects were normalized over the life of the assets in
22 accordance with applicable Internal Revenue Service
23 regulations. Our revenue requirement calculation included
24 reasonable estimates for O&M expenses, depreciation
25 expense, and taxes.

1 Q. Did the company consider AFUDC when calculating the revenue
2 requirements described above?

3

4 A. Yes. We calculated the revenue requirements with and
5 without AFUDC costs.

6

7 Q. How much fuel expense will the energy storage capacity
8 projects allow the company's customers to avoid over the
9 life of the project?

10

11 A. Based on our base fuel forecast, Tampa Electric expects
12 Future Energy Storage projects to save our customers
13 approximately \$206.1 million in fuel costs over the life
14 of the projects.

15

16 Q. Please describe the results of the company's cost-
17 effectiveness analysis.

18

19 A. The company's analysis showed that the planned energy
20 storage capacity is cost-effective in total and by project.
21 Document Nos. 6 through 10 of my exhibit shows the results
22 of the analyses by individual project.

23

24 For the planned Future Energy Storage in total, the CPVRR
25 differential was favorable for customers by \$151.2 million

1 before including any value for reduced emissions. Including
2 reduced emissions benefits increased the CPVRR savings from
3 Future Battery Storage to \$169.9 million.

4
5 The CPVRR savings for Future Energy Storage by project were
6 \$18.7 million (Dover Energy Storage Capacity), \$63.0
7 million (Lake Mabel Energy Storage Capacity), \$52.5 million
8 (Wimauma Energy Storage Capacity), and \$17.1 million (South
9 Tampa Energy Storage Capacity) before including any value
10 for reduced emissions. Including reduced emissions
11 benefits increased the CPVRR savings from Future Battery
12 Storage to \$22.3 million (Dover Energy Storage Capacity),
13 \$69.9 million (Lake Mabel Energy Storage Capacity), \$58.2
14 million (Wimauma Energy Storage Capacity), and \$19.6
15 million (South Tampa Energy Storage Capacity).

16
17 **Q.** Did the company conduct sensitivity testing on the results
18 of its cost-effectiveness analysis?

19
20 **A.** Yes. Tampa Electric tested the CPVRR savings calculated in
21 its analysis using high and low fuel price forecasts. The
22 high and low fuel forecasts were prepared contemporaneously
23 with the base fuel forecast. The results show that customer
24 savings occur under all fuel price forecast sensitivities.

25

1 **TAMPA ELECTRIC'S PLAN FOR FUTURE SOLAR**

2 **Q.** Please describe the company's existing solar generating
3 facilities.

4
5 **A.** Since 2015, Tampa Electric has deployed utility scale solar
6 generation. As of January 2024, Tampa Electric owns and
7 operates 22 solar generating sites geographically dispersed
8 throughout its service territory with a combined capacity
9 of 1,252 MW. The company's cost-effective solar portfolio
10 includes 1,247 MW of primary single axis tracking
11 photovoltaic ("PV") solar arrays throughout Hillsborough
12 and Polk Counties. It also includes a 1.6 MW fixed tilt
13 solar photovoltaic ("PV") rooftop canopy array located at
14 the top of the south parking garage at Tampa International
15 Airport, a 1.4 MW fixed tilt solar PV ground canopy array
16 located at Legoland Florida, a 1.0 MW floating solar
17 project, and a 1.0 MW agrivoltaics pilot project at Big
18 Bend Power Station.

19
20 Tampa Electric installed 600 MW of this capacity pursuant
21 to the company's 2017 Amended and Restated Stipulation and
22 Settlement Agreement ("2017 Agreement") approved by the
23 Commission on November 27, 2017, in Order No. PSC-2017-
24 0456-EI. Another 595 MW of this capacity was installed
25 pursuant to the company's 2021 Agreement.

1 In 2023, our solar facilities produced about eight percent
2 of the total energy for load.

3

4 As noted in the direct testimony of Mr. Stryker, the
5 company's solar expansion is a cost-effective way to serve
6 increased customer load while reducing the impact of fuel
7 price fluctuations on customer bills due to the zero-fuel
8 cost generation. The proposed Future Solar will help
9 moderate fuel price volatility, increase fuel diversity,
10 reduce reliance on natural gas, and have little to no water
11 requirements for operations. In addition, with the passage
12 of the Inflation Reduction Act, the federal government is
13 providing additional tax incentives which will benefit our
14 customers.

15

16 When Tampa Electric completes our Future Solar projects,
17 nearly 18 percent of our energy will be from solar. This
18 cost-effective long-term energy solution will promote fuel
19 price stability for customers and increase our fuel
20 diversity.

21

22 **Q.** Please generally describe the company's plans to build
23 Future Solar.

24

25 **A.** Tampa Electric plans to add an additional 488.7 MW of

1 utility-scale solar PV projects across its service
2 territory by the end of 2026.

3
4 The company plans to add the projects to its generating
5 fleet over a three-year period. By the end of 2024, we will
6 place in-service another 97.5 MW. During 2025, Tampa
7 Electric will place 149 MW of Future Solar projects in-
8 service, and the company will add 242.2 MW in-service by
9 the end of 2026.

10
11 The Future Solar projects will be general system resources,
12 not dedicated to a subset of solar energy subscribers and,
13 therefore, their benefits will inure to all of our
14 customers.

15

16 **Q.** Do you have a list of the Future Solar projects by year
17 and their projected cost in dollars per kW_{ac}?

18

19 **A.** Yes. The projected cost for each Future Solar project,
20 excluding AFUDC, was provided by Mr. Stryker who explains
21 the costs and project schedules in his direct testimony. I
22 added the AFUDC amounts to the project costs to arrive at
23 the total project costs in dollars per kW_{ac} shown in
24 Document No. 3 of my exhibit.

25

1 Q. How were the AFUDC amounts included in your project costs
2 per kW_{ac} determined?

3

4 A. Capital spending was provided to the company's accounting
5 team, who then calculated the AFUDC per project. These
6 AFUDC costs were provided to me and included in the cost-
7 effectiveness calculations.

8

9 **COST-EFFECTIVENESS OF FUTURE SOLAR**

10 Q. Are the planned solar PV projects cost-effective?

11

12 A. Yes. Excluding savings from avoided carbon emission costs,
13 the Future Solar projects are cost-effective in total, by
14 year, and individually except for one project.

15

16 Q. Please describe the analyses Tampa Electric performed to
17 evaluate the cost-effectiveness of the Future Solar
18 projects.

19

20 A. We performed the analyses using our Integrated Resource
21 Planning models to prepare a base case scenario without
22 the Future Solar. We then prepared change case scenarios
23 for the 488.7 MW in total, for each year in total, and for
24 each individual project, and compared the change cases to
25 the base case. The base and change cases used production

1 cost modeling software to determine system CPVRR, including
2 fuel and variable O&M costs, and then the costs associated
3 with the change case were subtracted from the base case to
4 determine the savings.

5

6 **Q.** Please explain the assumptions underlying the company's
7 cost-effectiveness calculations.

8

9 **A.** The primary assumptions for the cost-effectiveness
10 calculations are the company's Demand and Energy Forecast,
11 the fuel price forecast, and the projected revenue
12 requirements of the Future Solar projects.

13

14 We prepared our cost-effectiveness analyses with the Demand
15 and Energy Forecast used to prepare Tampa Electric's 2024
16 cost recovery factors and its 2024 Ten Year Site Plan. A
17 summary of the values in the Demand and Energy Forecast is
18 shown in Document No. 1 of my exhibit.

19

20 The company prepared the fuel forecast using the same
21 methodology the company has used to develop its fuel price
22 forecast each year over the last decade, and it is shown in
23 Document No. 2 of my exhibit.

24

25 **Q.** How did the company calculate the annual revenue

1 requirements used in the analysis?
2

3 **A.** The company used project-specific projected costs to
4 calculate the revenue requirement by project and in total.

5
6 Consistent with the guidelines in the 2021 Agreement, we
7 updated the long-term debt rate to 5.5 percent to reflect
8 the prospective long-term debt issuances during the first
9 12 months of operations of the projects. The production
10 tax credits associated with the utility-scale solar
11 projects were applied over the first 10-year life of the
12 assets in accordance with applicable Internal Revenue
13 Service regulations. The revenue requirement calculation
14 included reasonable estimates for O&M expenses,
15 depreciation expense, and taxes, including the projected
16 impact of the property tax exemption for solar projects.

17
18 **Q.** Did the company consider AFUDC and avoided carbon emission
19 costs when calculating the revenue requirements described
20 above?

21
22 **A.** Yes. Tampa Electric calculated the revenue requirements
23 with and without AFUDC and with and without avoided carbon
24 emission costs.

25

1 Q. By how much will the Future Solar projects lower the
2 company's carbon emissions?

3

4 A. The 488.7 MW of Future Solar will decrease carbon dioxide
5 ("CO₂") emissions by over 450 thousand tons per year and
6 decrease nitrogen oxide ("NO_x") and sulfur dioxide ("SO₂")
7 emissions by hundreds of tons.

8

9 Q. How did the company estimate the avoided cost of carbon
10 emissions for the Future Solar projects?

11

12 A. Tampa Electric worked with a third-party contractor to
13 estimate the avoided cost of carbon emissions for the
14 Future Solar projects. Since 2015, upon the issuance of
15 the draft Clean Power Plan, the company has monitored
16 forecasted carbon prices. The company used a CO₂ forecast
17 based on current assumptions and market conditions from
18 global consulting services company ICF International, Inc.
19 ("ICF"). ICF provides projections for various regions of
20 the country as well as low, medium, and high cost-of-carbon
21 forecasts.

22

23 Q. Is it reasonable to include the value of avoided carbon
24 emission costs in the company's cost-effectiveness tests?

25

1 **A.** Yes. Although our federal government and the State of
2 Florida do not currently impose a tax or fee on carbon
3 emissions, public policy considerations and customer
4 expectations in the United States and around the world are
5 trending against carbon emissions and in favor of renewable
6 energy like solar generation. It is difficult to predict
7 when a carbon tax or fee will be imposed on the company,
8 but it is even more difficult to completely rule out that
9 possibility. Accordingly, it is reasonable to consider the
10 value of avoided carbon costs when evaluating the cost-
11 effectiveness of generating alternatives, including our
12 Future Solar projects.

13
14 **Q.** How much fuel expense will Future Solar allow the company's
15 customers to avoid over the life of the projects?

16
17 **A.** Based on our base fuel forecast, we expect Future Solar to
18 save our customers approximately \$797.5 million in fuel
19 costs over the life of the projects.

20
21 **Q.** Please describe the results of the company's cost-
22 effectiveness analysis.

23
24 **A.** Document Nos. 11 through 22 of my exhibit shows the results
25 of the analyses.

1 For Future Solar in total, the CPVRR differential in our
2 analysis was favorable for customers by \$165.3 million
3 before including any value for reduced emissions. Including
4 reduced emissions benefits increased the CPVRR savings from
5 Future Solar to \$322.3 million.

6
7 The CPVRR savings for Future Solar by year in our analysis
8 were \$34.0 million for the 2024 projects, \$52.6 million
9 for the 2025 projects, and \$78.7 million for the 2026
10 projects before including any value for reduced emissions.
11 Including reduced emissions benefits increased the CPVRR
12 savings from Future Solar to \$66.0 million for the 2024
13 projects, \$100.5 million for the 2025 projects, and \$155.8
14 million for the 2026 projects.

15
16 **Q.** Did the company conduct sensitivity testing on the results
17 of its cost-effectiveness analysis?

18
19 **A.** Yes. Tampa Electric tested the CPVRR savings calculated in
20 its analysis using high and low fuel price forecasts. The
21 high and low fuel forecasts were prepared contemporaneously
22 with the base fuel forecast. Results of the high fuel price
23 sensitivity show that all individual projects are cost-
24 effective, and under the low fuel price sensitivity all
25 but two projects show benefits to customers.

1 **OTHER BENEFITS TO THE RESILIENCE AND CAPACITY PROJECTS**

2 **Q.** Are there any other benefits besides cost savings that the
3 Polk 1 Flexibility and South Tampa Resilience projects will
4 provide to Tampa Electric's customers and the communities
5 where they live?

6
7 **A.** Yes. As explained in the testimony of Mr. Aldazabal, the
8 Polk 1 Flexibility and South Tampa Resilience projects will
9 improve the company's utilization of its generating assets
10 due to the increased flexibility, reduced maintenance
11 intervals, fast start capability, improved heat rates,
12 faster ramp rates, and lower turndowns provided by these
13 projects.

14
15 These projects also strengthen Tampa Electric's near-term
16 reserve margins and further insulate our customers from
17 disruptions during an extreme weather event.

18
19 **Q.** Are there any other benefits besides cost savings that the
20 Future Energy Storage and Future Solar projects will
21 provide to Tampa Electric's customers and the communities
22 where they live?

23
24 **A.** Yes. As noted in the testimony of Mr. Stryker, our Future
25 Solar and Future Energy Storage projects will require fewer

1 financial resources to operate than fossil fuel-burning
2 plants and will substitute, in part, for operation of solid
3 fuel generating assets that cost more to operate and
4 maintain, which will allow the company to incur less O&M
5 expense.

6
7 Additionally, because solar resources do not burn fuel or
8 have moving parts that operate under high temperatures and
9 pressures, solar generators are safer to operate than
10 fossil fuel-burning generators. Solar generation is not
11 only emission-free, but also requires little to no water
12 for operation, which is better for protecting Florida water
13 resources.

14
15 Further, with the passage of the Inflation Reduction Act,
16 the federal government is providing additional tax
17 incentives which will also benefit our customers.

18
19 Construction of these projects will create new jobs in this
20 area, which will help our local economy. The solar projects
21 also generate new property tax revenues for the local
22 governments where they are located.

23
24 **PRUDENCE OF THE COMPANY'S PROPOSED RESOURCE PLAN**

25 **Q.** Is the company's proposed resource plan prudent?

1 **A.** Yes. As noted in the testimony of Mr. Aldazabal and Mr.
2 Stryker, the company has planned and will be constructing
3 the 14 projects in the proposed resource plan at the lowest
4 reasonable cost. My direct testimony shows these projects
5 are cost-effective in total and by year.

6
7 The Polk 1 Flexibility, South Tampa Resilience, and Future
8 Energy Storage projects will improve the company's
9 utilization of the system generating assets due to the
10 increased dispatch flexibility provided by these projects.
11 The 14 projects included in our proposed resource plan will
12 result in lower fuel costs for customers.

13
14 The Future Energy Storage projects also will enable energy
15 arbitrage that will provide fuel cost savings for customers
16 by storing lower cost off-peak energy and delivering it
17 during peak times. Additionally, these assets will provide
18 increased resilience and improve system reliability by
19 helping the company maintain the required winter capacity
20 reserve margin as peak load grows.

21
22 The proposed Future Solar projects reduce electricity
23 costs, reduce price volatility for customers, improve fuel
24 diversity, reduce reliance on natural gas, have little to
25 no water requirements for operations, and provide

1 alternative sources of energy that enhance system
2 reliability and resilience.

3
4 The company's Future Solar projects will require fewer
5 financial resources to operate than fossil fuel-burning
6 plants, and will substitute, in part, for operation of
7 fossil fuel generating assets that cost more to operate
8 and maintain, which will allow the company to incur less
9 O&M expense.

10

11 **SUMMARY**

12 **Q.** Please summarize your direct testimony.

13

14 **A.** My direct testimony describes the company's plans to
15 upgrade Polk Unit 1 to a highly efficient simple cycle unit
16 (Polk 1 Flexibility project), add 75.2 MW of distributed
17 energy resources for improved system resilience (South
18 Tampa Resilience project), add 115 MW of Energy Storage
19 Capacity, and add an additional 488.7 MW of utility-scale
20 Future Solar generating capacity to our system. My direct
21 testimony also demonstrates that the Polk 1 Flexibility,
22 South Tampa Resilience, Future Solar, and Future Energy
23 Storage capacity projects are cost-effective, will benefit
24 customers, and are prudent.

25

1 The company's proposed resource plan is expected to save
2 customers just over \$1.18 billion in fuel costs alone over
3 the life of these assets compared to a resource plan
4 without these additions, with \$178.0 million of the total
5 savings anticipated to come from the Polk 1 Flexibility
6 and South Tampa Resilience projects, \$206.1 million in
7 savings from the Future Energy Storage projects, and the
8 remaining \$797.5 million from the Future Solar projects.

9
10 On a CPVRR basis and excluding any benefits from reduced
11 emissions, the proposed resource plan is estimated to be
12 favorable to customers by \$493.4 million over the life of
13 these assets compared to a resource plan without the
14 proposed additions, with \$176.9 million of the total CPVRR
15 savings anticipated to come from the Polk 1 Flexibility
16 and South Tampa Resilience projects, \$151.2 million savings
17 from the Future Energy Storage projects, and the remaining
18 \$165.3 million of savings from the Future Solar projects.

19
20 The collection of projects in the proposed resource plan
21 lowers overall costs to customers while simultaneously
22 increasing system reliability and flexibility, reducing
23 price and supply risk from natural gas, and lowering
24 greenhouse gas emissions.

25

1 Q. Does this conclude your direct testimony?

2

3 A. Yes, it does.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 (Whereupon, prefiled rebuttal testimony of
2 Jose Aponte was inserted.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



TECO[®]
TAMPA ELECTRIC
AN EMERA COMPANY

**BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION**

DOCKET NO. 20240026-EI

**PETITION FOR RATE INCREASE
BY TAMPA ELECTRIC COMPANY**

**REBUTTAL TESTIMONY AND EXHIBIT
OF
JOSE APONTE**

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **REBUTTAL TESTIMONY**

3 **OF**

4 **JOSE APONTE**

5
6 **Q.** Please state your name, address, occupation, and
7 employer.

8
9 **A.** My name is Jose Aponte. My business address is 702 North
10 Franklin Street, Tampa, Florida 33602. I am employed by
11 Tampa Electric Company ("Tampa Electric" or the
12 "company") as the Manager Resource Planning.

13
14 **Q.** Are you the same Jose Aponte who filed direct testimony
15 in this proceeding?

16
17 **A.** Yes. I am.

18
19 **Q.** Have your title and duties and responsibilities changed
20 since the company filed your prepared direct testimony on
21 April 2, 2024?

22
23 **A.** No.

24
25 **Q.** What are the purposes of your rebuttal testimony?

1 **A.** My rebuttal testimony serves four general purposes.

2

3 First, I will address certain points asserted by the
4 Florida Industrial Power Users Group ("FIPUG") witness
5 Jonathan Ly associated with the cost-effectiveness
6 analysis related to the Future Solar Projects.

7

8 Second, I will respond to inaccurate conclusions drawn by
9 Florida Rising and League of United Latin American
10 Citizens ("LULAC") witness Karl Rábago regarding the
11 cost-effectiveness of the South Tampa Resilience Project.

12

13 Third, I will address the arguments made by Sierra Club
14 witness Devi Glick regarding the conversion of Polk Unit
15 1 to simple cycle operation being an uneconomic endeavor.

16

17 Finally, I will address arguments raised by FIPUG's
18 witness Jeffry Pollock regarding the operational impacts
19 of the company's Future Solar Projects and proposed
20 changes to the company's time of use periods.

21

22 **Q.** Have you prepared an exhibit supporting your rebuttal
23 testimony?

24

25 **A.** Yes. Rebuttal Exhibit No. JA-2, entitled "Rebuttal

1 Exhibit of Jose Aponte," was prepared by me or under my
2 direction and supervision. The contents of this rebuttal
3 exhibit were derived from the business records of the
4 company and are true and correct to the best of my
5 information and belief. My rebuttal exhibit consists of
6 the following three documents:

7
8 Document No. 1 Low Fuel Forecast Solar Cost-
9 Effectiveness Test

10 Document No. 2 High Fuel Forecast Solar Cost-
11 Effectiveness Test

12 Document No. 3 Solar Cost-Effectiveness Test
13 Capacity Factor Sensitivity

14
15 **I. THE FUTURE SOLAR PROJECTS**

16 **Q.** Do you agree with Mr. Ly's characterization that the
17 Future Solar Projects are not supported by a robust cost-
18 effective analysis?

19
20 **A.** No. The company's analyses presented in my direct
21 testimony are robust. The analyses follows a technique
22 that is widely used by electric utilities during the
23 development of integrated resource plans to evaluate the
24 prudence of adding a generating resource to the portfolio.

25

1 Q. Do you agree with Mr. Ly's assertion that the company has
2 not provided sensitivity analyses supporting the benefits
3 of these projects under a range of capital and fuel cost
4 assumptions?

5
6 A. No. As I explained on page 32 of my direct testimony,
7 Tampa Electric tested the Cumulative Present Value
8 Revenue Requirement ("CPVRR") savings calculated in its
9 analyses using high and low fuel price forecast
10 sensitivities. The company also performed sensitivity
11 analyses for variations in capital cost and unit
12 performance. No party to this proceeding asked for these
13 fuel price sensitivity analyses through discovery.
14 However, I am providing these sensitivities in Document
15 Nos. 1 and 2 of Rebuttal Exhibit JA-2.

16
17 Q. Please describe the sensitivity analysis for fuel cost
18 assumptions.

19
20 A. Tampa Electric tested the CPVRR savings calculated in its
21 analysis using high and low fuel price forecasts
22 sensitivities. The high and low fuel forecasts were
23 prepared contemporaneously with the base fuel forecast.
24 Results of the low fuel forecast sensitivity shows an
25 overall CPVRR savings to customers of approximately \$51

1 million for the proposed solar projects, while the high
2 fuel forecast sensitivity shows an overall CPVRR savings
3 to customers of approximately \$428 million. The results
4 of these fuel price sensitivities are included as Document
5 Nos. 1 and 2 in my Rebuttal Exhibit JA-2. The CPVRR
6 benefit to customers is even greater if the potential
7 value of CO₂ reductions is included. The Future Solar
8 projects are cost-effective with or without consideration
9 of future carbon pricing.

10
11 **Q.** Did the company perform a sensitivity analysis for capital
12 cost assumptions?

13
14 **A.** Yes, during the initial stages of the project planning.

15
16 The Future Solar Projects remain cost effective even if
17 the capital cost assumptions are higher. The portfolio of
18 future solar projects would still be favorable to
19 customers even if the \$1,609 average dollar per kilowatt
20 cost of the projects increased by 10 percent under the
21 base fuel price scenario. This demonstrates the Future
22 Solar Projects' resilience against cost fluctuations.

23
24 Tampa Electric has a high level of confidence in its
25 capital cost estimates. The company has extensive

1 experience working with Engineering, Procurement, and
2 Construction ("EPC") firms and equipment suppliers for
3 utility scale solar projects and, by factoring in EPC
4 costs based on prior and existing contracts, the
5 reliability of the cost projections is greatly enhanced.

6
7 Additionally, the company has contracts and agreements in
8 place for major equipment purchases like modules,
9 inverters, GSUs, rackers, and tracking systems, which
10 provides assurances that the cost assumptions used for
11 the proposed future solar projects are sound and
12 reasonable.

13
14 **Q.** Did the company perform sensitivity analyses for unit
15 performance?

16
17 **A.** Yes. Tampa Electric projects that the Future Solar units
18 will have on average, an annual net capacity factor of 26
19 percent. The company performed a sensitivity in the cost-
20 effectiveness analyses where new solar projects started
21 with a lower capacity factor during the first full year
22 of operation, then increased by 1 percent per subsequent
23 year until achieving the design specification capacity
24 factor by year five.

25

1 To illustrate the impact of excluding this conservative
2 assumption in the cost-effectiveness analyses, the
3 company performed a cost effectiveness test without it.
4 The results of this sensitivity reflected an increase of
5 \$36.3 million in savings to customers under the base fuel
6 price scenario, for a total projected benefit of \$201.6
7 million. The result of the sensitivity analysis is
8 included in Document No. 3 of my Rebuttal Exhibit JA-2.

9
10 The company also performed a sensitivity analysis
11 incorporating a 0.4 percent degradation per year until
12 the end of the project's useful life.

13
14 Both conservative assumptions have already been
15 incorporated into the cost-effectiveness analyses
16 presented in my direct testimony.

17
18 **Q.** What role did these sensitivity analyses play in the
19 company's decision to proceed with the Future Solar
20 projects?

21
22 **A.** The company takes a conservative approach to evaluating
23 the cost-effectiveness of new generation projects. Tampa
24 Electric made the decision to move forward with the Future
25 Solar projects based on cost-effectiveness analyses that

1 incorporated the conservative and robust input
2 assumptions of all three sensitivities cited above. The
3 results of the cost-effectiveness analyses for the
4 proposed Future Solar are in my direct testimony Exhibit
5 No. JA-1, Document No. 11 through Document No. 22.

6
7 **Q.** Are the net present value benefits of the Future Solar
8 Projects based on a speculative carbon adder, as
9 represented by Mr. Ly?

10
11 **A.** No. The company's proposed portfolio of Future Solar
12 Projects are cost effective even without including any
13 benefits from reduced carbon emissions. This is
14 illustrated in Document No. 11 in Exhibit No. JA-1, which
15 was included with my direct testimony.

16
17 As I explained on page 31 of my direct testimony, it is
18 impossible to rule out the possibility that a carbon tax
19 or fee will be imposed. As a result, it is reasonable for
20 the company to provide an analysis to illustrate the
21 potential value of avoided carbon costs when evaluating
22 the cost-effectiveness of generating alternatives,
23 including our Future Solar Projects. The inclusion of a
24 carbon adder in the cost-effectiveness analyses for the
25 Future Solar Projects was for informational purposes but

1 provides a realistic estimate of the Future Solar
2 Projects' value in the event future carbon emission costs
3 are imposed.

4
5 **II. COST-EFFECTIVENESS OF THE SOUTH TAMPA RESILIENCE PROJECT**

6 **Q.** Florida Rising and LULAC witness Mr. Rábago recommends
7 the Commission disallow recovery for the South Tampa
8 Resilience Project in part because it lacks the support
9 of a benefit cost analysis. Do you agree with this
10 recommendation?

11
12 **A.** No. Tampa Electric completed a cost-effectiveness
13 analysis for the South Tampa Resilience Project, which I
14 provided as Document No. 5 in Exhibit JA-1 along with my
15 direct testimony.

16
17 As shown in Document No. 5, the South Tampa Resilience
18 Project has a projected benefit to customers of
19 approximately \$10 million CPVRR excluding any benefit
20 from the value of reduced emissions and \$137.9 million in
21 fuel savings. If the potential value for reduced CO₂
22 emissions is included, the CPVRR benefit to customers is
23 estimated to be even higher.

24
25 In addition to these economic benefits, the South Tampa

1 Resilience Project also provides operational benefits
2 including strengthening near-term reserve margins,
3 improving reliability, enhancing dispatch flexibility,
4 and further insulating customers from disruptions during
5 extreme weather events. The quick start, rapid ramping,
6 and distributed nature of the South Tampa Resilience
7 Project is a valuable complement to the large, centralized
8 combined-cycle generation units that comprise the bulk of
9 Tampa Electric's generation portfolio. So, while the
10 South Tampa Resilience Project is cost-effective as shown
11 in my direct testimony, the real value comes from its
12 operational flexibility contribution to the Tampa
13 Electric system.

14
15 **III. CONVERSION OF POLK UNIT 1 TO SIMPLE CYCLE OPERATION**
16 **(POLK 1 FLEXIBILITY PROJECT)**

17 **Q.** Sierra Club witness Ms. Glick asserts that the conversion
18 of Polk Unit 1 to simple-cycle operation is not economic.
19 Do you agree?

20
21 **A.** No. As reflected in the Polk 1 Flexibility Cost-
22 Effectiveness Test provided in my direct testimony
23 Exhibit JA-1, Document No. 4, the conversion of Polk Unit
24 1 to a simple-cycle combustion turbine ("CT") reflects a
25 customer benefit of approximately \$166.9 million CPVRR,

1 excluding any benefit from the value of reduced emissions.
2 If the potential value for reduced CO₂ emissions is
3 included, the CPVRR benefit to customers is estimated to
4 be even higher.

5
6 This project is not only economic for our customers but
7 also increases the flexibility within our system.
8 Operating Polk Unit 1 as a simple cycle CT will allow for
9 faster starts, quicker ramp rates, shorter up/down times,
10 and lower turndowns enabling Tampa Electric to better
11 optimize the utilization of the rest of the portfolio's
12 assets.

13
14 **Q.** Do you agree with Ms. Glick's conclusion that the Polk 1
15 Flexibility Project is expected to have a negative net
16 present value revenue requirement?

17
18 **A.** No. As a preliminary matter, Ms. Glick did not provide
19 her calculation, and we have not been able to recreate it
20 solely from the discovery responses she cites in her
21 testimony.

22
23 I do agree that the project has a negative CPVRR
24 differential; however, the negative CPVRR indicates the
25 project provides savings to customers. The negative CPVRR

1 indicates that the total CPVRR of the plan with the
2 proposed project is less than the total CPVRR of a plan
3 without the project. Said differently, the negative CPVRR
4 differential represents the reduction in projected cost,
5 which is a savings to customers.

6
7 These calculations are shown in the cost-effectiveness
8 tests included in my Exhibit JA-1, Document No. 4, which
9 is presented as differentials. They are derived by taking
10 the total CPVRR of a resource plan that includes the Polk
11 1 Flexibility Project and then subtracting the total CPVRR
12 of a resource plan without the Polk 1 Flexibility Project
13 (the reference case).

14
15 **IV. OPERATIONAL IMPACTS OF FUTURE SOLAR PROJECTS**

16 **Q.** On pages 35 to 36 of his direct testimony, Mr. Pollock
17 asserts that the company's changes to its time of use
18 rates to reflect lower rates during daylight hours will
19 create an incentive to use more energy during high load
20 conditions and thereby create challenges for the
21 company's grid operators. Do you agree with this
22 assessment?

23
24 **A.** No. Tampa Electric's changes to lower time of use rates
25 during daylight hours merely reflect the lower marginal

1 cost during daylight hours due to the significant
2 quantities of zero cost solar generation during daylight
3 hours. This zero cost solar displaces low-cost combined
4 cycle generation that is now available to serve
5 incremental load during that timeframe.

6
7 With respect to operational challenges of solar, there
8 can be challenges when the output of solar ramps up more
9 quickly or ramps down more quickly than expected, or when
10 the demand is being mostly met by solar resources during
11 daylight hours. This can lead to possible curtailment of
12 excess solar and having thermal generating resources
13 either offline and/or operating at their minimum, less
14 efficient levels. But that is independent of the overall
15 change to cost periods for time of use.

16
17 Incentivizing higher energy usage during high load
18 conditions help minimize the dispatch challenges
19 encountered by the company's grid operators during the
20 transition into non-daylight hours by keeping low-cost
21 thermal units online, avoiding shutdown and startup
22 costs, and enabling a better utilization of these low-
23 cost thermal assets at higher efficiency operating
24 levels.

25

1 **V. SUMMARY**

2 **Q.** Please summarize your rebuttal testimony.

3

4 **A.** My rebuttal testimony addressed the statements made by
5 witnesses Ly, Rábago and Glick.

6

7 First, I demonstrated that the company's cost-
8 effectiveness tests for the proposed solar projects are
9 supported by robust analysis, with a projected CPVRR
10 savings to customers of approximately \$165.3 million,
11 excluding any value from reduced carbon emissions.

12

13 Second, I explained that a cost effectiveness analysis
14 for the South Tampa Resilience Project was included in my
15 direct testimony, and the cost effectiveness analysis
16 indicated this project will save customers approximately
17 \$10.0 million in CPVRR.

18

19 Third, I provided clarification to demonstrate that the
20 negative CPVRR differentials in the company's cost
21 effectiveness tests on my Exhibit No. JA-1, including that
22 of the Polk 1 Flexibility Project of approximately \$166.9
23 million, represent the projected savings to customers.

24

25 Finally, I refuted FIPUG witness Pollock's erroneous

1 connection between system operational impacts from solar
2 and time of use rates by explaining how solar generation
3 drives lower energy costs during daylight hours and it is
4 logical to revise time of use rates accordingly.

5

6 **Q.** Does this conclude your rebuttal testimony?

7

8 **A.** Yes.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. WAHLEN:

2 Q Mr. Aponte, did you also prepare and cause to
3 be filed with your direct testimony an exhibit marked
4 JA-1, consisting of 22 documents?

5 A Yes.

6 Q Did you prepare and cause to be filed with
7 your rebuttal testimony an exhibit marked JA-2,
8 consisting of three documents?

9 A Yes.

10 MR. WAHLEN: Mr. Chairman, for the record, we
11 will note that Exhibits JA-1 and 2 have been
12 identified in the Comprehensive Exhibit List as
13 Exhibits 20 and 144.

14 CHAIRMAN LA ROSA: Okay.

15 BY MR. WAHLEN:

16 Q Mr. Aponte, would you please summarize your
17 prepared direct and rebuttal testimony?

18 A Yes.

19 Good morning, Commissioners. My name is Jose
20 Aponte, Manager of Resource Planning.

21 Commissioners, as you are aware, the company
22 is proposing several resource additions to its
23 generating portfolio in order to satisfy our reserve
24 margin needs and affordability for customers.

25 My direct testimony demonstrates that the

1 projects in the proposed portfolio, consisting of the
2 South Tampa Resilience, Polk 1 Flexibility, Future
3 Energy Storage and Future Solar Projects are
4 cost-effective. They are prudent, promote efficiency
5 and fuel diversity, and enhance the reliability and
6 resilience of the company's system. Together, these
7 projects are expected to save customers about \$1.2
8 billion in fuel costs, and over \$490 million in
9 cumulative present value revenue requirements.

10 My rebuttal testimony serves several purposes.
11 It refutes created system raised by FIPUG and LULAC
12 about the cost-effectiveness of future solar and the
13 South Tampa Resilience Project. It addresses comments
14 from Sierra Club about the economics of converting Polk
15 Unit 1 to a simple-cycle unit. And lastly, responds to
16 FIPUG's observations about the operational impacts of
17 future solar and proposed changes to time-of-use
18 periods.

19 This concludes my summary. Thank you.

20 MR. WAHLEN: Mr. Aponte is available for
21 cross-examination.

22 CHAIRMAN LA ROSA: Thank you.

23 OPC, you are recognized when you are ready.

24 MS. CHRISTENSEN: Good morning. Good morning,
25 Commissioners.

1 EXAMINATION

2 BY MS. CHRISTENSEN:

3 Q Good morning, Mr. Aponte.

4 A Good morning.

5 Q Can you -- can I ask you to turn to page six?
6 That's C5-302.

7 A Yes.

8 Q And on page six, starting at line 13, you say
9 that the purpose of your testimony is to do the
10 cost-effectiveness test to support TECO's request to
11 include the multiple engineering projects, correct?

12 A Yes.

13 Q Okay. And then if you move on to page seven
14 of your testimony, you -- and starting at line one, you
15 start to say that your testimony shows, from a CPVRR
16 basis, the company's resource plan is favorable, is that
17 correct?

18 A Yes.

19 Q Okay. And what does CPVRR mean?

20 A Cumulative present value revenue requirement.

21 Q Okay. And would you agree that the CPVRR is
22 intended to compare the alternative of the proposed unit
23 and its revenue requirement to the next alternative
24 unit?

25 A Yes. That's correct.

1 Q Okay. And you are the person who developed
2 the economic evaluations and the support for company's
3 new solar and storage projects, correct?

4 A Correct.

5 Q Would you agree that in your economic
6 evaluations for the new solar resources, you used a
7 35-year service life for solar?

8 A Yes.

9 Q And would you also agree that if you use a
10 shorter or a longer service life, it would affect the
11 economic evaluation and the present value benefit or
12 harm of adding the resource compared to the base case?

13 A It would change it.

14 Q And isn't it true if you used a shorter
15 service life, it would reduce the economic benefit of
16 the solar resources, all else equal?

17 A Subject to check, I believe the change will be
18 insignificant.

19 Q But you would agree that it would lessen the
20 economic benefit, however slightly?

21 A Not having done it, I would say that it's just
22 a small change. I don't know which way it would go.

23 Q Okay. And if the solar project is delayed or
24 never built, that would reduce the economic benefit of
25 the solar resource as well, correct?

1 A Yes.

2 Q I would ask to look at OPC 5. And as soon as
3 that is up -- there we go.

4 Do you see that work paper?

5 A Yes.

6 Q Okay. Is this your CPVRR analysis for the
7 Farmland Solar Project?

8 A Yes.

9 Q Okay. And looking at the bottom, there is a
10 note there. I know it's difficult to read. It might be
11 easier on your laptop. It says: 2053 contains end
12 effects. Does this mean the CPVRR analysis was done for
13 30 years, or through 2053?

14 A What that means is that in order to capture
15 the full revenue of requirements for assets that go
16 in-service later in the time horizon, we have to extend
17 the calculations past 2053 to capture their full revenue
18 requirement components of future assets.

19 Q Okay. Is it correct that the company does not
20 have any specific plans to retire its solar resources
21 prior to the 35-year service life reflected in these
22 economic evaluations?

23 A Yes.

24 Q And would you agree that, in the near-term --
25 and this is a slightly different take -- artificial

1 intelligence holds the possibility of lowering operating
2 costs of and extending the lives of your solar
3 generation facilities, if you know?

4 A Sorry. You said artificial intelligence?

5 Q Uh-huh.

6 A I hope we will.

7 Q Okay.

8 A I am not sure.

9 Q Fair enough.

10 I would also ask you to look at OPC 1. And
11 this should be a copy of the Ten-Year Site Plan. Are
12 you familiar with this document, the company's
13 Ten-Year-Site Plan?

14 A Yes, I am.

15 Q Okay. I think that's the cover sheet, but if
16 you move down to page -- no. I'm sorry. Maybe I put it
17 -- yep, there it is -- two pages, you can see the cover
18 page for the Ten-Year Site Plan?

19 A Yes.

20 Q And then I would ask you to go to page 80,
21 F2.1-80, which is page 78 of this Ten-Year Site Plan.
22 And once we get there, I was going to ask you to take a
23 look at this, which is -- I believe it's the English
24 Creek Ten-Year Site Plan. And if you can look down at
25 the bottom of this portion of the document, and then

1 under line 13, I believe it says that the service life,
2 or the book life here, is 35 years; is that correct?

3 A Yes.

4 Q Okay. And then if we go to the next page,
5 which is another project, this is the Bullfrog Creek
6 Project, right?

7 A Yes, it is.

8 Q Okay. And if you go down to that same line,
9 13, and if you go to book life years, it also says 35
10 years, correct?

11 A Yes.

12 Q Okay. Let me take you back to your testimony
13 at page 13. And if you can let me know when you get
14 there.

15 A I am there.

16 Q Okay. And I'm going to give it a second for
17 these guys to also get there.

18 Okay. Starting at line seven of your
19 testimony, you start talking about the South Tampa
20 Resiliency Project, correct?

21 A Yes.

22 Q And you are adding four reciprocating internal
23 combustion engines with capacity of 75 megawatts on
24 MacDill Air Force Base, is that correct?

25 A That is correct.

1 Q And then if you go down a little further on
2 the page to line 23 here, you -- through the top of the
3 next page. You say: In exchange for access to the base
4 site, TECO is getting an added level of resiliency. Is
5 that correct?

6 A Yes.

7 Q And am I correct that by adding the
8 resilience, you mean that South Tampa Resiliency Project
9 generation is located in the middle of a dense load
10 center?

11 A Yes, it is.

12 Q Okay. And would you agree that adding -- or
13 would you agree that locating these units on the base
14 will provide essential backup power for the base in case
15 of emergency?

16 A Yes.

17 Q And would you also agree that you did not
18 include any government funding in your CPVRR analysis?

19 A I did not.

20 Q Going to page 17 of your testimony, line --
21 starting at line 14, you say: The CPVRR differential
22 was favorable for customers by only 10 million without
23 the emissions. Is that correct?

24 A Yes.

25 Q You would agree that the CPVRR would have been

1 more favorable for customers if governmental money --
2 monetary funding had been sought?

3 A Not knowing what type of funding -- it could,
4 but I don't know of any type of funding.

5 Q Okay. If we go on to page 18 of your
6 testimony, looking at line five, you start talking about
7 the future energy storage projects, which is the same
8 thing as utility scale battery storage, correct?

9 A Yes.

10 Q At this time, is TECO planning four battery
11 storage projects in '25? And those would be Dover, Lake
12 Mabel, Wimauma and South Tampa, is that still correct?

13 A Yes.

14 Q Okay. And the South Tampa has been delayed
15 from the in-service date of April 2025 to December '25.
16 Is that still the case?

17 A Yes. That's my understanding.

18 Q Okay. Going to the top of page 25 of this
19 document -- or, I am sorry, 24. You discuss the future
20 solar projects, correct?

21 A Yes.

22 Q And if you go over to the next page, on page
23 25, starting at line 22. You are there?

24 A Yes, I am.

25 Q Okay. You can see that you are also starting

1 to talk about the company's plans to build future solar.

2 Do you see that?

3 A I do.

4 Q And on that line, you say: The company plans
5 to build 448.7 megawatts of additional utility scale
6 solar PV projects across its service territory by the
7 end of 2026. Is that correct?

8 A Yes.

9 Q Okay. And am I correct, these projects are
10 English Creek, Bullfrog Creek, Duette, Cottonmouth, Big
11 Four, Farmland, Brewster and Wimauma?

12 A Yes.

13 Q Okay. Would you agree that you have a total
14 of 97.5 megawatts of solar put in place by the end of
15 2024?

16 A Yes.

17 Q And those would consist of the English Creek
18 and Bullfrog Creek projects, correct?

19 A Yes. That's correct.

20 Q Okay. And then if we go to page 26 of your
21 testimony, you say that 149 watts of future solar will
22 be put in place at the end of 2025, is that correct?

23 A Yes.

24 Q And those projects are Duette and Cottonmouth
25 Ranch, correct?

1 A Yes.

2 Q Okay. And then moving on further into your
3 testimony, on 26, you say that you have 242 megawatts of
4 future solar that will be put into place by the end of
5 2026, correct?

6 A Yes.

7 Q And those projects are the remaining ones of
8 Big Four, Farmland, Brewster and Wimauma, right?

9 A Yep. That's correct.

10 Q Okay. Now, if we can look at page 58, or
11 Bates stamp 70 of the Ten-Year Site Plan. That's
12 F.2-72. As soon as we got there, we will take a look at
13 that. And -- yeah, I think -- 72, I think, master
14 sheet, okay. And I know it's not right-side up. Ah,
15 good, you corrected that.

16 You can see that this shows the current summer
17 margin reserve for Tampa Electric, correct?

18 A Yes.

19 Q Yeah, it may be easier to look up on the
20 screen, just because it has the correct orientation.
21 Can you see that?

22 And you can see --

23 A Okay. Thank you.

24 Q Do you have a better view? Just let me know
25 when you have got it in a good orientation for you to

1 take a look at it.

2 A Okay.

3 Q Okay. Now, this shows the summer reserve
4 margin for TECO of 30 percent in 2025, 30 percent in
5 2026, and 29 percent in 2027; is that correct?

6 A Yes.

7 Q Okay. And now I'm going to ask you to scroll
8 to the next page of this exhibit. I believe it should
9 be -- I am sorry. F73, which should be the next page.
10 We may still have similar orientation issues. So we can
11 get that oriented, let me know.

12 And this page should show the winter reserve
13 margin for TECO.

14 A Yes.

15 Q Okay. And can you see over into the last
16 column, where it says that there is a 23-percent winter
17 reserve margin in 2025, 23 percent in 2026, and a
18 22-percent in 2027?

19 A Yes.

20 Q Okay. And that's correct --

21 A Yes?

22 Q As far as you know? Okay.

23 Now, would you agree that solar does not
24 contribute to winter reserve margin?

25 A That's correct.

1 Q Okay. And you would agree that, right now,
2 there is no carbon emission cost imposed by the federal
3 government or state of Florida. Has that changed as of
4 today?

5 A It has not.

6 Q Okay. And would you agree that the company's
7 reserved margin is above 20 percent for both winter and
8 summer reserve margins from 2025 through 2027?

9 A They are.

10 Q And isn't it correct that the solar generation
11 projects are not needed to meet the company's summer
12 peak demands needs in 2025 through 2027?

13 A Did you say summer?

14 Q Summer.

15 A They contribute to the summer reserve margin,
16 but a small percent.

17 Q Okay. And would it also be correct that the
18 solar generation projects are not needed to meet the
19 company's winter peak demand needs in 2025 through 2027?

20 A Yes.

21 Q Okay. I would like to call your attention to
22 your rebuttal testimony, page seven. And then when you
23 get there, we will be looking at lines 10 through 12.

24 Let me know --

25 A I am there.

1 Q Okay. And looking at that portion of your
2 testimony, you say: The company performed a sensitivity
3 analysis incorporating a 0.4 percent degradation per
4 year until the end of the project's useful life for the
5 future solar projects. Is that correct?

6 A Yes. That is correct.

7 Q And you used a 35-year life for the solar in
8 this analysis, is that correct?

9 A Yes, I did.

10 Q Okay. Thank you very much. Thank you, Mr.
11 Aponte.

12 A Thank you.

13 CHAIRMAN LA ROSA: Thank you.

14 Florida Rising/LULAC.

15 MR. MARSHALL: Thank you.

16 EXAMINATION

17 BY MR. MARSHALL:

18 Q Good morning, Mr. Aponte.

19 A Good morning.

20 Q If we could go to master page F3.3-5838. This
21 is FLL-177.

22 As my -- as Ms. Christensen just hinted at, I
23 believe you just said that solar contributes zero
24 towards the winter reserve margin, and that's because
25 solar has a zero assumed capacity value during the time

1 of the winter peak.

2 A That's correct.

3 Q And this chart here in Exhibit FLL-177 is the
4 summer capacity value for the solar plants that are at
5 issue in this case?

6 A Yes.

7 Q And so, wave four includes the Brewster and
8 Wimauma 3 solar projects?

9 A Yes.

10 Q And those are planned to come into -- start
11 generating in 2027?

12 A That's correct.

13 Q And so that would be part of the subsequent
14 year adjustment in this case?

15 A Yes.

16 Q And they are assumed to have a summer capacity
17 value of 1.5 percent?

18 A They do.

19 Q And why is that?

20 A The reason for that is the more solar you add,
21 the effect on the system peak is that it moves the
22 system peak to a later time in the day. The net between
23 the load, minus the output of outer solar is what we
24 call net peak. And the more solar you add, the later
25 that net peak is going to occur during the day, when the

1 solar is producing less output.

2 Q And if I can now direct your attention to what
3 has been admitted on the CEL as Exhibit 120. This is
4 master number C32-3577.

5 Do you recognize this document?

6 A I do.

7 Q And what is it?

8 A It is a spreadsheet that we use to calculate
9 the reserve margins.

10 Q And those diminished solar firm capacity
11 factors are reflected in this chart?

12 A If you mean capacity values, yes.

13 Q Capacity values.

14 And so, for example, Wimauma 3 has a nameplate
15 capacity of 74.5 megawatts, but has a summer firm
16 capacity on this chart of 1.1 megawatts?

17 A That's correct.

18 Q Would it be fair to say that for the period of
19 2025 through 2027, in order to maintain planned reserve
20 margin of 20 percent, it would be the winter reserve
21 margin that we should be looking at that could be
22 driving plant additions to the system?

23 A Can you please repeat that question?

24 Q Sure.

25 In other words, the summer reserve margin, as

1 reflected in this chart for 2025 through 2027, is higher
2 than the winter reserve margin?

3 A Yes.

4 Q And so, any plant additions, you know, for
5 reserve margin purposes, to meet that 20-percent reserve
6 margin, we should probably be looking at that winter
7 reserve margin?

8 A We are.

9 Q And solar plants are assumed to not contribute
10 to that?

11 A Correct.

12 Q And so the solar plants that are being added
13 to the system are for the energy value that translates
14 into economic benefits for TECO and its customers?

15 A Yes. A big portion of the benefit is
16 reduction in fuel cost.

17 Q And so the solar is not being added to the
18 system in this time period or its capacity value?

19 A Correct.

20 Q You are not aware of any recent analysis by
21 TECO showing that if you went below a 20-percent reserve
22 margin, that rolling blackouts would be more likely to
23 occur?

24 A I am not aware of any analysis like that.

25 Q If I could next direct your attention to

1 **Exhibit FLL-85. This is master page F3.1-2651.**

2 **You were the sponsor of this interrogatory?**

3 A Yes.

4 **Q And so TECO does not conduct loss of load**
5 **probability studies?**

6 A Not at the time.

7 **Q What is a loss of load probability study?**

8 A A loss of load probability would indicate if
9 the portfolio -- it's a measure of the reliability of
10 the portfolio, and it's trying to determine the chances
11 of not meeting load. The industry standard seems to be
12 one day in 10 years.

13 **Q Switching topics now. You did a series of**
14 **cost-effectiveness analyses in connection with this**
15 **case?**

16 A Yes.

17 **Q And if we could go to what's been admitted as**
18 **Staff Exhibit 159, master E1965.**

19 **This is a copy of the financial inputs that**
20 **you used in your cost-effective analyses that were**
21 **included in your testimony?**

22 A Yes.

23 **Q And you assumed a 10.2-percent return on**
24 **equity for your cost analyses?**

25 A I did.

1 Q If the return on equity was approved at 11.5
2 percent, it would impact your analyses?

3 A It would.

4 Q And that would be -- it would create a
5 difference in the revenue requirement?

6 A It would create a different revenue
7 requirement. The only thing I would add to that is that
8 when we are doing cost-effectiveness analysis, we have
9 to look at a reference case as well as a change case.
10 And when the financial assumptions change, they have to
11 be changed on both, base and change cases. And I am
12 saying that because we expect the changes to the results
13 to be not that material.

14 Q If I could next direct your attention, still
15 within this exhibit, to master page E2008.

16 This shows a copy of the fuel price forecast
17 that was used in the rate case?

18 A Yes.

19 Q And that was included in your
20 cost-effectiveness analysis?

21 A Correct.

22 Q And it does show escalating natural gas
23 prices?

24 A It does.

25 Q The South Tampa Resilience Project is a series

1 of reciprocating engines on the MacDill Air Force Base?

2 A Yes.

3 Q And it will provide backup power to the Air
4 Force Base as -- for electrically islanded operations in
5 case of an emergency?

6 A In the case of an emergency, yes.

7 Q And besides the land for the engines, the U.S.
8 Government isn't providing any kind of financial
9 contribution to the project?

10 A Not that I am aware of.

11 Q If I could next direct your attention to
12 Exhibit FLL-173. This is going to be master F3.3-5305.

13 This is one of your documents?

14 A Yes.

15 Q And it includes the reserve margin calculation
16 for the winter with and without the South Tampa
17 Resilience Project?

18 A Yes.

19 Q And then if I could next direct your attention
20 to Exhibit FLL-127. This is going to be master page
21 F3.2-3894.

22 A I am sorry. May I add a clarification on the
23 previous exhibit?

24 Q We can go back to -- that was master page
25 F3.3-5305.

1 THE CLERK: 3.3-5305?

2 MR. MARSHALL: 3.3-5305.

3 THE WITNESS: Thank you.

4 When this exhibit was developed and we reflect
5 a with and without the specific project. I just
6 wanted to verify that the remaining expansion plan
7 has been failure to meet a reserve margin of 20
8 percent. So this does not reflect pulling the
9 project out and leaving a reserve margin gap.

10 BY MR. MARSHAL:

11 Q I am sorry. Could you say that again?

12 What --

13 A Yes. So, for example, if I take away all the
14 proposed projects that we have, we would fall under 20
15 percent reserve margin pretty quickly. And to satisfy
16 that reserve margin, and if we were not to do the
17 projects, we would have to add capacity in a different
18 way, perhaps it's the next best addition, which could be
19 a CT.

20 So what I am trying to say is that when we
21 took away the South Tampa project, for example, in this
22 chart, and it created a reserve margin need, we filled
23 it with another resource.

24 Q And I think we are going to get there. We
25 have a --

1 A Okay, no problem.

2 Q We have a lot of documents, Mr. Aponte. And I
3 think what you are referring to is those documents that
4 shows the base case, and then the non-base -- the change
5 case with each individual project. And those base cases
6 have placeholder CTs that were for TECO to meet its
7 reserve margin, is that right?

8 A That's correct.

9 Q And so this would refer to when it's without
10 those projects, this would be in reference to those base
11 cases?

12 A Yes.

13 Q Okay. If we could go back now to master page
14 F3.2-3894. This is going to be FLL-127.

15 And this document provides the detail of that
16 base case without the South Tampa Resilience Project?

17 A I believe so.

18 Q And you would agree that there is no summer
19 reserve margin issue?

20 A That's correct.

21 Q And it does show a -- on next page, for the
22 winter, it does show a 20-percent reserve margin for the
23 winter of 2026?

24 A Yes, I see that.

25 Q And it does not show a reserve margin issue

1 before then?

2 A No, not before then.

3 Q And would you agree that the installation of
4 the South Tampa Resilience before then is -- would be
5 for economic reason, not capacity reasons?

6 A Yes.

7 Q All right. If I could now go to FLL-128.
8 This is going to be master page F3.2-3897.

9 And so, this document would provide additional
10 detail regarding the reserve margins with the South
11 Tampa Resilience Project?

12 A I am going to go with that because I don't see
13 a title on the page, so I --

14 Q We can go through the Bates stamp number and
15 establish the trail.

16 A No, that's okay. We can move on.

17 Q Okay. And this document -- again, because
18 this would be -- you know, if I represent to you that
19 this the South Tampa Resilience, you know, change case,
20 you know, it would only included the reserve margins of
21 the next document that we are going to get to, which
22 would be the South Tampa Resilience Project case that
23 you used in your cost-effectiveness analysis.

24 A Okay.

25 Q And so it doesn't include all the storage

1 projects after the Dover battery project?

2 A That's correct.

3 Q And this shows that it would be down to a
4 20-percent reserve margin in the -- for winter for the
5 winter of 2027?

6 A Yes. That's correct.

7 Q Maybe I should have done this in a different
8 order, but now let's now go to FLL-129. This is master
9 page F3.2-3900.

10 So this document shows the base case and South
11 Tampa Resilience Project change case used for your
12 cost-effectiveness analyses?

13 A Yes.

14 Q And so it doesn't include any of the solar or
15 battery projects subsequent to the Dover battery project
16 in either case, although, TECO is planning to move
17 forward with those projects?

18 A That's correct.

19 Q And even in the change case, it still shows a
20 need for a CT in 2028?

21 A Yes.

22 Q And it does include the Polk 1 simple-cycle
23 conversion project, is that right?

24 A It does.

25 Q And we will discuss that project more in-depth

1 later, but that project actually decreases the capacity
2 of that unit?

3 A Slightly, yes.

4 Q If I could next direct your attention to
5 FLL-123, master page F3.2-3883. And this shows the cost
6 -- your cost-effectiveness results for the South Tampa
7 Resilience Project?

8 A Yes.

9 Q And -- well, you know, some basic questions
10 here, but if it's in parentheses, that's savings, and if
11 it's not in parentheses, that's the net cost?

12 A Correct.

13 Q And that would be in comparison to the base
14 case that we just discussed?

15 A Yes.

16 Q The biggest savings come from system fuel, is
17 that right?

18 A That's correct.

19 Q And fuel is directly connected with energy
20 use, not capacity?

21 A That's right.

22 Q And if not for the fuel savings, this project
23 would not have been found to be cost-effective?

24 A That's correct.

25 Q If I could next direct your attention to

1 master page F3.2-3901. This is FLL-129. And I just
2 want to direct your attention to the bottom of the page.
3 There is a note.

4 It says: The South Tampa Resilience Project
5 is transmission constrained to 37.6 megawatts until
6 summer 2026. Is that right?

7 A Yes. I see that.

8 Q Is that your understanding that that's true?

9 A That was true at the time the analysis was
10 developed, but my understanding is that we may have some
11 more ability on accelerating that date.

12 Q One of the benefits of the project -- of the
13 South Tampa Resilience Project for TECO's customers was
14 to avoid transmission upgrades, is that right?

15 A Yes.

16 Q If I could direct your attention to FLL-247.
17 This is going to be master page F.34 -- I am sorry --
18 yes, F3.4-19921.

19 This is an earlier draft of the
20 cost-effectiveness analysis for the South Tampa
21 Resilience Project?

22 A Yes.

23 Q And it shows an estimate of approximately \$5.5
24 million in savings and avoided transmission as a
25 benefit?

1 A That's correct. Yes.

2 Q And it also shows that the interconnection
3 costs for the facility are estimated to be \$8.2 million?

4 A Yes.

5 Q And so those interconnection costs are higher
6 than the avoided transmission upgrade costs?

7 A Yes, they are.

8 Q All right. If I could go back to master page
9 C3.2-3577. This is admitted Exhibit 120.

10 This document contains all of the generation
11 and storage projects that TECO has proposed through this
12 rate case?

13 A I am there.

14 Q This document contains all of the solar
15 battery storage and fossil generation projects that TECO
16 has in this rate case?

17 A It does.

18 Q If you go to winter of 2027, South Tampa
19 Resilience has 75 megawatts of capacity that's
20 contributing to that winter reserve margin?

21 A Yes.

22 Q If you deduct that 75 megawatts, you would
23 still have over a 20-percent reserve margin in 2027,
24 wouldn't you?

25 A We may in that year. We may fall short right

1 after that.

2 Q But would you agree with the math, that at
3 least through 2027, you would be okay?

4 A Yes.

5 Q If I could next direct your attention to
6 FL-131. And this is going to be master page F3.2-3908.

7 So this document would include the Big Four
8 solar base case and change case.

9 A Okay.

10 Q And you would agree that the reserve margins
11 on here are -- well, even through 2027 are above 20
12 percent?

13 A Winter, yes.

14 Q And as comparison to the base case and change
15 case we were looking at with the South Tampa Resilience
16 Project, this shows a lot of the other projects layered
17 on, such as the other energy storage projects subsequent
18 to the Dover energy storage project, and the earlier
19 solar projects that come before this one?

20 A That's correct.

21 Q And just for comparison purposes, keep in mind
22 the summer reserve margin here for 2027 -- and if we
23 could next go to FLL-145. This is going to be master
24 page F3.2-3964 -- and before you -- sorry, real quick.

25 This does not show the Wimauma 3 solar project

1 on this case?

2 A It does not.

3 Q Okay. Now, let's go to that master F3.2-3964.
4 This document includes the Wimauma 3 base case and
5 change case?

6 A Yes.

7 Q And the reserve margin is not all that
8 different from what we were looking at before?

9 A Yes.

10 Q All right. If we could next go to FLL-122.
11 This is going to be on master page F3.2-3875.

12 This is your cost-effectiveness analysis for
13 the Polk 1 Flexibility Project, which is the
14 simple-cycle conversion?

15 A Yes.

16 Q And this project found savings -- or has
17 savings from the Polk 1 project upgrade and Polk 1
18 sustaining capital and fuel?

19 A Yes.

20 Q And so you would agree that those savings are
21 coming from some kind of capital investment TECO is
22 assuming would need to be made at Polk Unit 1 to keep
23 Polk Unit 1 as it is without the flexibility project?

24 A Yes. That's correct.

25 Q And this is not a -- this is not a capacity --

1 this is not a project to add capacity to the system?

2 A It is not.

3 Q And, in fact, the expected output of the
4 converted unit is about 20 megawatts less than the
5 current combined-cycle?

6 A That's correct.

7 Q If I could next direct your attention to
8 FLL-92. This is master page F3.1-2895. Do you see that
9 interrogatory answer in front of you?

10 A I do.

11 Q And this actually shows the cost of that Polk
12 1 project upgrade without the Polk 1 Flexibility
13 Project?

14 A I believe so. Yes.

15 Q And so this would be the cost necessary to
16 maintain Polk 1 as-is?

17 A That's correct.

18 Q And would you agree that the biggest cost is
19 capital for the steam turbine?

20 A Yes. I see that.

21 Q And the next biggest capital cost would be for
22 the heat recovery steam generator?

23 A Yes.

24 Q If I could next direct your attention to
25 FLL-124. This is going to be master page F3.2-3885.

1 And so this document shows the reserve margins
2 and the Polk 1 Flexibility base case?

3 A Yes.

4 Q And so that -- the base case for that is the
5 assumption that the flexibility project doesn't move
6 forward and Polk 1 stays as-is?

7 A That's correct.

8 Q If I could next direct your attention to
9 FLL-125. This is master page F3.2-3888.

10 And this document shows the reserve margins
11 and the Polk 1 Flexibility case as in the project moves
12 forward?

13 A Yes.

14 Q And as alluded to earlier, you would agree
15 that the total installed firm capacity, as compared to
16 the document we were just looking at, goes down
17 slightly?

18 A Yes.

19 Q And you would agree that the summer reserve
20 margins are still well above 20 percent?

21 A They are.

22 Q If we could next go to FLL-126. This is
23 master page F3.2-3891.

24 And this document shows the Polk 1 Flexibility
25 base case and the Polk 1 Flexibility change case?

1 A Yes.

2 Q And the Polk 1 Flexibility base case doesn't
3 include any of the other projects at issue in this case,
4 correct, other than the Dover Energy Storage Capacity
5 Project, which is going in in 2024?

6 A Yes, in this particular illustration, it does
7 not.

8 Q And it does not include the South Tampa
9 Resilience Project?

10 A Correct.

11 Q And it doesn't show any need for additional
12 generation until 2027?

13 A Yes.

14 Q And that's going to be based on the 20-percent
15 reserve margin for winter?

16 A Yes.

17 Q If I could direct your attention to FLL-97.
18 This is going to be master page F3.1-3000.

19 You conducted a cost-effectiveness analysis
20 looking at the potential to retire Polk Unit 1?

21 A Yes, we did.

22 Q And it found such retirement to be
23 cost-effective as compared to the status quo?

24 A It did.

25 Q Great. Thank you.

1 MR. MARSHALL: That's all my questions, Mr.
2 Chairman.

3 CHAIRMAN LA ROSA: Great. Thank you.
4 Next up is FIPUG.

5 MR. MOYLE: Thank you, Mr. Chairman.

6 EXAMINATION

7 BY MR. MOYLE:

8 Q Good morning.

9 A Good morning.

10 Q I had a question yesterday for your
11 Vice-President of Operations with respect to how you
12 determine the need for future facilities. I believe he
13 asked me to ask you that question, and you are
14 responsible for future facilities, is that right?

15 A Yes.

16 Q Yeah. So how do you determine the need for
17 the solar plants that you are putting in now? You were
18 asked a question about economic need versus a physical
19 reserve margin need. Could you just explain how you
20 would determine the need for the solar plants that you
21 are seeking recovery for, please?

22 A Yes, of course.

23 There are two basic components of a need or a
24 criteria for adding new resources. In the example of
25 solar, that is affordability. It is an economic need.

1 Adding the solar lowers the CPVRR for customers compared
2 to not doing those projects.

3 The second criteria is the 20-percent reserve
4 margin. We are required to maintain 20 percent. In the
5 case of Tampa Electric, it's a winter reserve margin.
6 So that's the season that we look for.

7 **Q So is part of your analysis, if you are**
8 **looking, and you have a 25-percent reserve margin, but**
9 **then you're -- well, there is an economic benefit of**
10 **solar. Will you keep adding solar to take you above 25**
11 **to got to 30, and is there a hard line anywhere stop on**
12 **the reserve margin?**

13 A Well, with solar, as I described very briefly
14 earlier, there is a point where solar loses any capacity
15 value, which, in this case, will be in the summer. So
16 at some point, solar doesn't really move the needle in
17 any way in terms of reserve margin for either winter or
18 summer.

19 And we believe that is the proper way to look
20 at it, because, you know, if we don't do that
21 adjustment, solar would artificially inflate reserve
22 margins, and that's just not a good reliability metric
23 to have artificially high reserve margins to the solar.
24 So that's why that adjustment is necessary for the
25 summer.

1 Q I think you answered a question where you said
2 that there is no value added to the winter peak, and
3 there is a very small benefit added to the summer; it
4 was 1.5 percent, is that right?

5 A That's correct. That would be the last couple
6 of projects that we are presenting have a one-and-a-half
7 percent capacity value to the summer.

8 Q And when you say that on-and-a-half percent
9 capacity value to the summer, explain exactly what that
10 means. I mean, that doesn't mean you are at 18.5 and
11 then it gets you 1.5, so you are 20 percent, so you are
12 good on reserve margin, does it?

13 A No, it does not mean that. What it means is
14 that out of the nameplate capacity of the solar, when I
15 am doing a calculation for the reserve margin on any
16 given year, I am only counting one per -- 1.5 percent of
17 its nameplate to contribute towards reserve margin in
18 the summer in that year.

19 Q So what's the math on that, assuming 75
20 megawatts?

21 A Like, one, two megawatts.

22 Q Do you have operational familiarity with how
23 your solar -- your solar -- utility scale solar works?

24 A Yes, somewhat. Yes.

25 Q Yeah. There was a discussion about if the sun

1 is not shining, it can degrade the solar unit's output.
2 Obviously, that makes sense at night, but in a
3 discussion yesterday with Mr. Stryker, he said there
4 variability on that.

5 Can the variability go higher as well? He was
6 talking about it going lower, but can it go higher as
7 well, operationally?

8 A Yes. The variability of solar could go both
9 ways. At any given hour, solar could move a little bit
10 up or down.

11 Q And if you are designing your solar fields,
12 your utility scale solar field is at 74.5, is that
13 right?

14 A That's correct.

15 Q Yeah. Can it go over that on an ideal day for
16 solar?

17 A No, it cannot. That's governed by the
18 inverters. It will always be below that, or at that.

19 Q An inverter, is that kind of like a governor?
20 It won't allow it go above that? You have heard of a
21 governor on a car, or something, it won't let it go
22 above a certain speed? Do you have something similar?
23 Is that what the inverters do?

24 A Yeah, something like that.

25 Q On page 27 of your testimony, line 12, when

1 you were doing -- I mean, you run cost-effective
2 analysis on all of these solar projects, correct?

3 A Yes.

4 Q Yeah. You said one is not cost-effective, is
5 that right?

6 A It's a slight cost. That's correct.

7 Q Yeah. Which one is that?

8 A It's English Creek.

9 Q But you are asking for it to be approved even
10 though it's not cost-effective, is that right?

11 A That is correct. Although, there has been a
12 couple of changes to inputs that have recently happened.
13 For example, the increase of the PTC from 27-and-a-half
14 to \$30 a megawatt hour.

15 We also filed a midcourse correction forecast
16 several months ago. That's another input change. And I
17 believe that both of those combined are make English
18 Creek be a small benefit, cost-effective.

19 Q But you haven't done an analysis, or have a
20 document, or anything, that suggests that that's the
21 case, is that correct?

22 A That's correct. Back-of-the-envelope we
23 believe it's going to become a cost-effective project.

24 Q Mr. Collins indicated that you did not use a
25 carbon adder with respect to your analysis of the

1 cost-effectiveness of the solar projects. Wasn't he
2 half right when he said that?

3 A Mr. Collins was absolutely correct. I did
4 not.

5 Q Duly noted.

6 Let me come at this way: Didn't you do an
7 analysis of your cost-effectiveness assuming a carbon
8 cost in one way, and then also not assuming the carbon
9 cost?

10 A Yes. That's correct. We did it both ways.
11 Although, the company's criteria for determining to move
12 forward with cost-effective projects excludes all
13 benefits from the reductions of CO2. Exhibits show it
14 as an illustration purposes only to show how much more
15 benefit we could potentially get in the event that a
16 carbon tax becomes a mandate. But the criteria for the
17 company to move forward with cost-effective projects
18 excludes the benefit of CO2.

19 Q Okay. And just -- let's reference one, the
20 last exhibit in your direct testimony, on page 63,
21 document number 22, page one of your direct testimony.

22 A I am there.

23 Q I am waiting for them to pull it up on this --
24 okay, it's up there.

25 The name of this project is what?

1 A It's Wimauma 3.

2 Q And if you go down -- if we could scroll down
3 to the CO2 emissions cost.

4 A Yes.

5 Q So that figure, how did you come up with that
6 figure?

7 A Sure. So sometime ago, we went out and
8 purchased a report from an outside consultant that,
9 based on their research and their analysis, assigned a
10 specific value to -- a cost per ton of CO2 for our
11 region.

12 So basically, using that value, multiplied by
13 the amount of tons that solar project would reduce on
14 our system, that turns into a benefit, by doing that
15 math. The amount of tons reduced by the cost of each
16 ton that would have cost us if there was a carbon tax,
17 that is what that benefit represents.

18 Q Who is the group you hired?

19 A The consultant's name was called ICF.

20 Q And what did the report conclude? When you
21 reviewed it and read it, what was the rationale and the
22 reasoning as to why a carbon cost was projected to be in
23 place, particularly at a point in time that it would
24 affect the solar units that you were moving forward
25 with?

1 A Well, like I said, the report is a year or two
2 old, but it -- the report looked at the microeconomics
3 of everything going on with any type of proposals for
4 regulations, emission regulations. It looked at the
5 region. It looked at, really, many factors to come up
6 with that.

7 Q All right. And did his report assume that it
8 would be government action that would impose a fee or a
9 tax on carbon?

10 A At the time of that report, I believe that it
11 did assume government action in -- at a certain year in
12 the future. And, like I said, the report is a couple of
13 years old.

14 Q Yeah.

15 Did you -- in preparing your testimony, did
16 you check that conclusion that there might be a tax on
17 carbon imposed by the government, did you check it with
18 any of your legislative people at the state level and
19 say, do you think Florida is going to be putting a
20 carbon tax in place any time soon?

21 A Not outside the company, but I -- we recognize
22 that, at the moment, there is no plan to assign a carbon
23 tax.

24 Q Yeah. How about even within the company?

25 A Yes, that -- we recognize there is no

1 immediate plan to assign a carbon tax.

2 **Q Right. And the same question with respect to**
3 **federal legislative assets that you have?**

4 MR. WAHLEN: Mr. Chairman, this is fascinating
5 to me, of course, but the testimony is that the
6 company is not relying on a carbon adder to prove
7 cost-effectiveness. I really don't know that this
8 is adding a lot. If Mr. Moyle wants to continue,
9 he can, but we are not relying on the cost of
10 carbon to prove the cost-effectiveness of these
11 solar projects.

12 CHAIRMAN LA ROSA: I think the question has
13 been answered. Are you finishing this line of
14 questioning or --

15 MR. MOYLE: Well, I was trying to understand,
16 you know, he said they did a report. I was trying
17 understand the rationale in the report and, you
18 know, this is -- you know, they got exhibits that
19 are showing this, so, you know, they are saying
20 they are not relying on it, but they have done it,
21 and are putting it in front of you --

22 CHAIRMAN LA ROSA: Right.

23 MR. MOYLE: -- but I think I am -- I think I
24 have exhausted that line of questions.

25 CHAIRMAN LA ROSA: Okay. Thank you.

1 BY MR. MOYLE:

2 Q You also project a savings based on projected
3 fuel savings, and you had to do a -- use of forecast of
4 what natural gas prices would be going forward, is that
5 right?

6 A Yes.

7 Q The prices that you used are higher than the
8 Henry Hub Natural Gas Price Futures that come from
9 NYMEX, is that correct?

10 A Yes, they are, because we have to add a basis
11 to get the fuel delivered to our region.

12 MR. MOYLE: I have no further questions.

13 CHAIRMAN LA ROSA: Thank you.

14 All right. FEA.

15 CAPTAIN GEORGE: FEA has no questions. Thank
16 you, Commissioner.

17 CHAIRMAN LA ROSA: Thank you.

18 Sierra Club.

19 MS. AMIEL: Yes. We have some questions.

20 EXAMINATION

21 BY MS. AMIEL:

22 Q Good morning, Mr. Aponte.

23 A Hi. Good morning.

24 Q So you state in your testimony that the Polk 1
25 Flexibility Project will cost \$80.5 million, right?

1 A Yes.

2 Q Can you please pull up the Sierra Club Exhibit
3 17, which is the PSC Exhibit 804, page F6-360? And let
4 me know when you have that in front of you.

5 A I see it.

6 Q Thanks.

7 So looking at the tab calculating costs with
8 Polk 1 -- Polk Unit 1 Flexibility, we can see an
9 estimated \$90.1 million cost for the conversion of Polk
10 1, do you see that?

11 A I see it.

12 Q So it's possible the total cost of the Polk 1
13 Flexibility Project is higher than the 80.5 million?

14 A What the 90.1 million represents is the \$84
15 million overnight construction cost after we have gone
16 through the calculation of adding the revenue
17 requirement for that capital. So the MPV of the revenue
18 requirement of that capital becomes 90.1.

19 Q So which cost is passed on to the ratepayers,
20 the 80.5, or this higher 90.1?

21 A The 90.1.

22 Q Okay. So -- all right. Thank you.

23 Looking again at Sierra Club -- the same
24 Exhibit F6353, on page F6-353, the tab -- this is a tab
25 that considers a scenario without the Polk 1 Flexibility

1 Project -- thank you. This also projects high costs
2 from maintaining the unit as-is, right?

3 A Yes.

4 Q Including a \$130.9 million project upgrade
5 cost, right?

6 A Yes.

7 Q And when would that upgrade need to occur?

8 A In 2025.

9 Q Okay. If Polk 1 were to retire in 2025, TECO
10 would avoid incurring this roughly \$131 million cost,
11 right?

12 A If that unit retires in 2025, it would be
13 replaced with the same amount -- it would need to be
14 replaced with the same amount of capacity to maintain
15 their reserve margins. So I believe the amount of money
16 would be higher than that.

17 Q Okay. That feeds right into my next question,
18 so thank you.

19 TECO has not performed a retirement analysis
20 for Polk 1 since 2022, correct?

21 A A retirement analysis for Polk 1 since 2022?

22 Q Uh-huh?

23 A I know we have looked at it several times. We
24 -- our most recent one may be 2023.

25 Q 2023. Is that in the record in this case?

1 A Yes, it is.

2 Q Okay. So is that the same retirement analysis
3 that I had asked Witness Aldazabal about, the one that
4 analyzed retiring Polk 1 in 2028?

5 A That's correct.

6 Q Okay. But the study did not consider any
7 retirement years apart from 2028, right?

8 A It did not.

9 Q So in assessing the cost of retiring Polk 1
10 versus keeping the unit operational, TECO did not
11 specifically consider a scenario where it replaces Polk
12 1 with renewable energy or energy storage, right?

13 A We did not.

14 Q In performing this requirement study, TECO did
15 not consider the cost of acquiring renewable energy,
16 such as solar or storage, through an open source RFP
17 process, did it?

18 A For purposes of the analysis, no.

19 Q But TECO is not planning to issue all source
20 RFPs for solar or batter storage projects, is it?

21 A I am not the project expert, but I -- but we
22 have a competitive buying methodology.

23 Q Okay. Does that methodology include an open
24 source RFP, where participants can bid?

25 A I believe it does. I am not the right person

1 to answer that.

2 Q Okay. I guess put differently, maybe this is
3 more helpful. TECO is planning on building its storage
4 projects itself, correct?

5 A Yes.

6 Q Would you agree that the economics of battery
7 storage are changing rapidly?

8 A Yes, they are -- it's -- they are changing.

9 Q For example, do you anticipate the Inflation
10 Reduction Act or IRA tax credits are driving down the
11 cost of battery storage further?

12 A Yes, they do.

13 Q Can you guarantee holding an open source RFP
14 would not result in a lower price for energy storage
15 than if TECO built its own gold-plated battery storage?

16 A I am not the right person to answer that.

17 Q Okay. And who would be the right witness in
18 this case to answer that?

19 A It will have to be Witness Stryker.

20 Q Okay. Witness Stryker directed several of
21 these questions to you. Okay. I will ask another
22 question about the retirement study.

23 So turning back to the Polk 1 Retirement Study
24 from 2022, did TECO consider the cost of the Polk Fuel
25 Diversity Project in that -- apologies -- from 2023, did

1 **TECO consider the cost of the Polk Fuel Diversity**
2 **Project in that study?**

3 A I am sorry. Can you repeat that question?

4 Q **Yes. I had the wrong year.**

5 **So turning back to the 2023 Polk 1 Retirement**
6 **Study, did TECO consider the cost of the Polk Fuel**
7 **Diversity Project in conducting that study?**

8 A My understanding is that those two projects
9 are not connected.

10 Q **Okay. So did TECO consider -- I guess I will**
11 **ask differently.**

12 **Did TECO consider the costs of the Polk Fuel**
13 **Diversity Project when it was assessing the**
14 **cost-effectiveness of retiring the plant?**

15 A No.

16 Q **Okay. And did TECO consider the cost of the**
17 **Polk 1 Flexibility Project in weight the**
18 **cost-effectiveness of retirement?**

19 A Ask me that one more time, please?

20 Q **Yeah. No problem.**

21 **So in conducting that retirement study, did**
22 **TECO consider the cost of the Polk 1 Flexibility**
23 **Project?**

24 A Well, in order to do a complete analysis for
25 the Polk 1 Flexibility, we looked at the retirement

1 analysis in 2028, yes, that was one sensitivity we did.

2 Q Okay. So in performing the 2023 retirement
3 study, did TECO factor in environmental compliance
4 costs?

5 A No, we did not.

6 Q Okay. So TECO did not consider costs related
7 to federal rules that were finalized after 2023, such as
8 the 2024 Greenhouse Gas Standards, right?

9 A No, not in that analysis.

10 Q Okay. So in your rebuttal testimony, on page
11 13, you stated that if Polk Unit 1 were to return to
12 IGCC operation, or retired before 2023, it would not be
13 subject to any greenhouse gas emission standards. Would
14 you still agree with that statement?

15 A Okay. Can you please point to me --

16 Q Yes.

17 A -- where I said that?

18 Q Absolutely. So this is your rebuttal
19 testimony, page -- oh, apologies. That is actually
20 Witness Aldazabal's rebuttal, so that's a mistake.

21 Okay. So this is about Polk Unit 1 and
22 retirement, so I am going to ask you this question, and
23 if you are totally unfamiliar with it, you can let me
24 know, but it's on Witness Aldazabal's rebuttal at page
25 13, lines 20 --

1 MR. WAHLEN: I am -- excuse me.

2 MS. AMIEL: Yeah.

3 MR. WAHLEN: It sounds like she is about to
4 cross-examine Mr. Aponte on Mr. Aldazabal's
5 rebuttal testimony. Am I --

6 CHAIR LA ROSE: Yeah, can we get clarification
7 of the direction you are going, because I know
8 there some --

9 MS. AMIEL: Yeah.

10 CHAIRMAN LA ROSA: -- on which testimony you
11 are addressing?

12 MS. AMIEL: No. Absolutely. And that was --
13 that was my mistake.

14 So I was just going to ask the witness a
15 question that relates to this retirement analysis.
16 It's just one statement that was in Witness
17 Aldazabal's rebuttal, but it related to federal
18 rules that various witnesses have mentioned, so if
19 he's -- if this witness is unfamiliar, Mr. Aponte
20 can just let me know and then I can --

21 CHAIRMAN LA ROSA: Okay. Go ahead and
22 continue.

23 MS. AMIEL: Thank you.

24 BY MS. AMIEL:

25 Q So this is on Witness Aldazabal's rebuttal

1 testimony on page 13, lines 20 through 22. And I can
2 read it aloud and you can let me know if you are
3 unfamiliar with this topic, is that okay?

4 A That's okay.

5 Q Thank you.

6 So Mr. Aldazabal stated: If Polk Unit 1 were
7 to return to IGCC operation but retire before 2032, it
8 would not be subject to any greenhouse gas emission
9 standards.

10 Does that sound right to you?

11 A I am very unfamiliar with that --

12 Q Okay.

13 A -- any greenhouse gas standards.

14 Q Okay. That's fine. So then I will move on.

15 Okay. So -- okay, you are familiar with the
16 term reserve margin, correct?

17 A Yes, I am.

18 Q Could you please briefly explain how a reserve
19 margin impacts an electric utility's generation mix?

20 A Can you repeat that question?

21 Q Yes, of course.

22 Can you please briefly explain how a utility's
23 reserve margin impacts its generation mix?

24 A Well, planning reserve margin and generation
25 mix are two different things. We could satisfy reserve

1 margin in many different ways, very different generation
2 mixes, so I am not sure I am following your question.

3 Q Okay. I think that answer is helpful.

4 So a higher reserve margin makes it more
5 difficult to retire a generation asset, all else equal,
6 right?

7 A Higher reserve margins make it more difficult
8 to retire units?

9 Q Uh-huh.

10 A No. I don't agree with that.

11 Q Okay. But a higher reserve margin requires
12 you to maintain more units on-line generally compared to
13 having a lower reserve margin, is that right?

14 A They don't have to be on-line. A reserve
15 margin is based on installed capacity.

16 Q Okay. So a higher reserve margin generally
17 requires a higher degree of installed capacity, as
18 opposed to a lower reserve margin, right?

19 A Yes, that's right.

20 Q Okay. And for TECO, it's really the winter
21 reserve margin that determines whether resources can be
22 retired without replacement, right?

23 A At this moment, we are a, yes, a winter need.

24 Q Okay. Can you please turn to Florida -- PSC
25 Exhibit 120, page C32-3577? And we may need to zoom in,

1 if possible.

2 I am just looking at the last row. So in the
3 last row, can you see that TECO's winter reserve margins
4 for 2024 through '27 are 30 percent, 23 percent, 23
5 percent and 22 percent?

6 MR. WAHLEN: Mr. Chairman, I think we have
7 been over this ground two or three times now.

8 CHAIRMAN LA ROSA: We have been over this
9 chart. Is this a different question from what was
10 asked earlier?

11 MS. AMIEL: It was asked. I was just trying
12 to lay a foundation for my next questions, but if
13 everyone is familiar with it, I can also just move
14 on to the next question.

15 CHAIRMAN LA ROSA: Let's do that.

16 MS. AMIEL: Okay. No problem.

17 BY MS. AMIEL:

18 Q So focusing on this 30-percent number for a
19 second, would you agree it's unusual to have a reserve
20 margin that high?

21 A No, it's not unusual. The reason why that
22 number is that high is because I believe we, for
23 reliability purposes, purchased some short-term PPAs
24 for, like I said, reliability on the energy and fuel
25 supply. That's just temporary. That's just a short --

1 so that's why you see that bump up, and then you see it
2 low -- get back down to 23 percent in the next year.

3 **Q Okay. TECO is operating on the assumption of**
4 **a 20-percent reserve margin floor, correct?**

5 A 20 percent, yes.

6 **Q Yet, in some years, it's building -- it has**
7 **far more capacity than that floor, right?**

8 MR. WAHLEN: This has been covered two or
9 three times, Mr. Chairman.

10 CHAIRMAN LA ROSA: I would agree.

11 MS. AMIEL: Okay. I will just ask one more
12 reserve margin question, and then I can move on, if
13 that's fine --

14 CHAIRMAN LA ROSA: Yes.

15 MS. AMIEL: -- that I believe hasn't been
16 asked.

17 BY MS. AMIEL:

18 **Q Okay. So a 30-percent reserve margin compared**
19 **to, say, a 15-percent reserve margin makes is more**
20 **difficult to retire older generation assets --**

21 MR. WAHLEN: Asked and answered.

22 CHAIRMAN LA ROSA: It has been.

23 MS. AMIEL: Okay. So thank you. I will just
24 move on to another topic, and we are close to the
25 end of these questions.

1 BY MS. AMIEL:

2 Q So TECO is planning to add nearly 500
3 megawatts of new solar across its service territory by
4 the end of 2026, right?

5 A Yes.

6 Q And you would agree that solar has no fuel
7 costs, right?

8 A Correct.

9 Q In fact, you stated in your testimony that
10 adding all of this future solar would save customers
11 nearly \$800 million in fuel costs over the lifetime of
12 the projects, correct?

13 A Yes.

14 Q Solar plants also tend to have lower operation
15 and maintenance costs than fossil plants, right?

16 A They do.

17 Q TECO's proposed solar generation will reduce
18 electricity costs and reduce price volatility for TECO's
19 ratepayers, right?

20 A Yes. Absolutely.

21 Q And you would agree that solar generators tend
22 to be safer and conserve more water than fossil
23 generators, right?

24 A Yes, I agree.

25 Q Once TECO constructs its proposed future solar

1 projects, solar will supply 17 percent of the energy on
2 its system, right?

3 A Subject to check the year, yes.

4 Q Okay. And this will increase TECO's fuel
5 diversity, right?

6 A Correct.

7 Q There is also fuel diversity from energy
8 storage, right?

9 A Yes, some. Yes.

10 Q As well as from energy efficiency and demand
11 response measures.

12 A I am not sure about that one.

13 Q Okay. But a number of these sources of energy
14 can hedge against high gas prices, right?

15 A Yes. Absolutely.

16 Q TECO is planning to bring on-line four new
17 storage units in the two-year period from 2025 through
18 '27, right?

19 A Yes.

20 Q But TECO is plan is to bring only one new
21 storage project, the 70-megawatt project coming on-line
22 in 2028, in the six-year period from 2027 to 2033,
23 right?

24 A That's what we are reflecting now. We have a
25 integrated resource plan process that we execute every

1 year as part of the development of the Ten-Year Site
2 Plan. And we are always looking for ways to optimize
3 the portfolio in ways that creates value to customers,
4 affordability. We look for reliability of the system.
5 We look for many criteria, many objectives.

6 And to the extent that we find that more
7 battery storage is cost-effective, it creates value for
8 customers, it adds reliability and resiliency to the
9 system, we would consider doing that. So it could
10 change.

11 **Q Okay. So there is no technical barrier**
12 **blocking TECO from adding more than one project in that**
13 **time period?**

14 A No.

15 **Q And as TECO brings on more energy storage,**
16 **that storage can be paired with TECO's existing solar**
17 **units, right?**

18 A I am sorry. Repeat that question.

19 **Q No problem.**

20 **As TECO brings on more energy storage that can**
21 **-- that storage can be paired with TECO's existing solar**
22 **generation, right?**

23 A It could, but we are finding that it's most
24 cost-effective to connect the storage to the grid, and
25 optimizes charging so that it's the most economic way of

1 charging. It may not be from solar at this point.

2 Q Okay. Do you know how many of the new storage
3 projects coming on-line are paired with the new solar
4 projects, or existing ones?

5 A The ones coming on-line are all connected to
6 the grid.

7 Q Okay. Thanks.

8 So when storage is paired with solar or just
9 optimized to connect to the grid, energy storage can
10 save power that's generated by solar units and return it
11 to the grid at times of peak demand, right?

12 A It could if that's the lowest cost way to
13 dispatch it.

14 Q Okay. Thanks.

15 The capacity credit of new energy storage
16 units is 100 percent, right.

17 A Yes, for the proposed projects, it is.

18 Q So this means that new -- these new energy
19 storage units are soon to provide 100 percent of their
20 capacity at times of peak demand on TECO's system,
21 right?

22 A Yes.

23 Q Okay. So if TECO brings on, say, more than
24 one storage unit in this period from 2027 to 2033, would
25 you predict that storage unit would also have the

1 **100-percent capacity credit?**

2 A It would need to be studied, but I can tell
3 you that the capacity value of storage at some point, we
4 are not there yet, it will start to decline also, not as
5 drastic as solar, but it will decline. That's the whole
6 concept of ELCC, effective load carrying capability.

7 Q Okay. **TECO measures the capacity**
8 **contributions or credits for at times of peak load as**
9 **ranging from about 56 percent in the summer to lower,**
10 **around maybe one or lower percent in the winter, is that**
11 **right?**

12 A Yes, that's right. It has decreased.

13 Q **But the capacity credit of solar paired with**
14 **energy storage would be higher than this, right?**

15 A I think it will -- it will still be the same.
16 You just have batteries also on the grid. That's
17 another asset.

18 Q Okay. **But if, for example, there were a**
19 **storage unit that is paired with a solar unit, the**
20 **capacity credit would be higher, right?**

21 A Again, it depends. If --

22 Q Okay.

23 A -- if the portfolio was asking for a solar
24 plus storage asset as one, together, it would create a
25 higher capacity value, but that -- those are not the

1 type of projects we are looking at at this time.

2 Q Okay. Thanks.

3 Can you please look at your direct testimony
4 on page 31. And just let me know when you are ready.

5 A I am there.

6 Q Thank you.

7 Can you please read lines one through, I
8 believe it's 12, starting at public policy
9 considerations and ending with the phrase, rule out that
10 possibility?

11 A Can you point to me the row number?

12 Q Yes. It begins on line one, actually, on that
13 page.

14 A Okay.

15 Q I believe it's on page 31 actually, and it's
16 -- says -- begins with public policy considerations --
17 actually, it looks like it does start page three, so I'm
18 sorry -- I mean on line three. So public policy
19 considerations there on line three, and then extending
20 to the -- rule out that possibility.

21 A Yes.

22 Public policy considerations and customer
23 expectations in the United States and around the world
24 are trending against carbon emissions and in favor of
25 renewable energy like solar generation.

1 Q Thank you?

2 A It is difficult to predict when a carbon tax
3 or fee will be imposed.

4 Q Thanks.

5 Okay. You would agree that it's possible a
6 new environmental regulation could impose limits on
7 carbon emissions, right?

8 A It's possible.

9 Q Emissions from coal combustion are more carbon
10 intensive than gas, right?

11 A Yes.

12 Q And gas is more carbon intensive than solar,
13 right?

14 A Yes.

15 Q If TECO were to consider avoided carbon costs
16 in deciding on its generation mix, this would make
17 fossil plants relatively more expensive than they would
18 otherwise be, right?

19 MR. WAHLEN: Mr. Chairman, I think we have
20 been very clear that we don't consider cost of
21 carbon in our cost-effectiveness, and we are maybe
22 on the second lap on this topic.

23 CHAIRMAN LA ROSA: Yeah. It's certainly a
24 similar topic.

25 Let's do this, it's 10:20 almost. Let's take

1 a quick break for 10 minutes, and then we will jump
2 back into questioning.

3 MS. AMIEL: Okay. Actually, I have two more
4 questions.

5 CHAIRMAN LA ROSA: Okay. Then let's go with
6 those two questions.

7 MS. AMIEL: Okay. Thank you.

8 Can I -- is it fine if I just reask -- do you
9 want me to reask that question, or did you want
10 me --

11 CHAIRMAN LA ROSA: Is it the question that you
12 just asked before?

13 MS. AMIEL: It is. Yes.

14 CHAIRMAN LA ROSA: We have talked about that
15 subject. I think the question was more related to
16 policy. If there is a direct question in there,
17 yes, I will allow it --

18 MS. AMIEL: Okay.

19 CHAIRMAN LA ROSA: -- but, you know, I don't
20 want to keep on skirting around the same subject we
21 just -- we have been chatting about.

22 MS. AMIEL: Okay. That makes sense. I will
23 just ask this last question, and then I will just
24 make it one question, if that's okay.

25 CHAIRMAN LA ROSA: Sure.

1 BY MS. AMIEL:

2 Q So if TECO were to -- if TECO were to consider
3 avoided carbon costs in deciding on its generation mix,
4 this would make fossil fuel plants relatively more
5 expensive and renewables relatively more cost-effective,
6 right?

7 A I am sorry. You said that very fast.

8 Q I know.

9 A Repeat it.

10 Q My apologies. Okay. I will say that more
11 slowly.

12 So if TECO were to consider avoided carbon
13 costs in deciding on its generation mix, that would make
14 fossil fuel plants relatively more expensive and
15 renewables relatively more cost-effective, right?

16 A It would make renewables more cost-effective,
17 yes.

18 Q Okay. Thank you.

19 MS. AMIEL: No further questions.

20 CHAIRMAN LA ROSA: Great. Thank you.

21 Let's go ahead and jump into a 10-minute break
22 and we will reconvene here at 10:30. Thank you.

23 (Brief recess.)

24 CHAIRMAN LA ROSA: All right. I think we can
25 go ahead and jump back in our seats and get

1 rolling.

2 So where we left off was Sierra Club had just
3 finished up with questions for Witness Aponte. So
4 I will go to Florida Retail Federation.

5 MR. WRIGHT: Thank you, Mr. Chairman. I don't
6 have any cross for Mr. Aponte.

7 CHAIRMAN LA ROSA: Okay. Thank you.
8 Walmart.

9 MS. EATON: I don't have any cross. Thank
10 you.

11 CHAIRMAN LA ROSA: Thank you.
12 Staff.

13 MR. SPARKS: Staff has no questions for Mr.
14 Aponte. Thank you.

15 CHAIRMAN LA ROSA: Commissioners, do we have
16 any questions for Mr. Aponte? Seeing no questions.

17 TECO, I will throw it back over to you for
18 redirect.

19 MR. WAHLEN: Thank you.

20 FURTHER EXAMINATION

21 BY MR. WAHLEN:

22 Q Mr. Aponte, Mr. Moyle asked you a question
23 about a particular solar project, and you indicated that
24 with the increase in the production tax credit, the
25 cost-effectiveness was better, do you remember that?

1 A Yes.

2 MR. MOYLE: I was going to object on asked and
3 answered for my friend Mr. Wahlen.

4 CHAIRMAN LA ROSA: I am sure he appreciates
5 that.

6 Go ahead and continue.

7 BY MR. WAHLEN:

8 Q If you applied the higher production tax
9 credit to all of the solar projects that you are
10 proposing, would their cost-effectiveness improve?

11 A Yes. Absolutely.

12 Q Thank you.

13 You were asked some questions about the South
14 Tampa Resilience Project by the Office of Public
15 Council, and they asked the question, well, if the
16 federal government had presented, or paid some money
17 towards the project, would it have improved the
18 cost-effectiveness; do you remember that?

19 A I remember that.

20 Q The company is getting the land for that
21 project for no cost, correct?

22 A That's correct.

23 Q If the company had to buy land, or lease land
24 for that project, it would hurt the cost-effectiveness,
25 wouldn't it?

1 A Yes, it would be very expensive or almost
2 impossible to get.

3 Q So the fact that there is free land helps the
4 cost-effectiveness of the project, correct?

5 A It helps a lot.

6 Q Okay. Thank you.

7 You were asked some questions about the
8 company's winter reserve margin. I know you remember
9 that. When the company calculates its winter reserve
10 margin, does the company assume a particular
11 temperature?

12 A Yes. That's correct. We do.

13 Q And what is that temperature?

14 A It's 31 degrees Fahrenheit.

15 Q Okay. Does the company do a sensitivity
16 analysis around temperature for reserve margin?

17 A Yes.

18 Q Could we pull up master document F.1-74,
19 please? It's part of CEL 226.

20 Is that the reserve margin that you were
21 referring -- sensitivity that you were referring to?

22 A Yes, it is.

23 Q And what temperature does this assume?

24 A This is at 29 degrees.

25 Q Okay. So if the temperature is 29 degrees

1 **instead of 31, what does the winter reserve margin look**
2 **like in 2025?**

3 A Well, it drops significantly to 17 percent.

4 Q **And that's below the 20-percent, right?**

5 A It is below.

6 Q **Do you recall being asked about whether**
7 **replacing the company's solid fuel assets was -- you**
8 **were asked about whether the company did an analysis**
9 **about replacing the company's solid fuel assets with**
10 **solar and battery storage --**

11 A Yes, I recall that.

12 Q **-- do you remember that?**

13 **Would it be possible to cost-effectively**
14 **replace the company's solid fuel capacity -- generating**
15 **capacity with solar and energy storage?**

16 A Possible -- I mean, it would be extremely
17 expensive. I mean, to replace --

18 Q **Would it be cost-effective?**

19 A To replace the -- with any kind -- solid fuel
20 units have the capability of running 24/7 around the
21 clock for weeks. In the event that that fuel is the
22 economic fuel, or in the event that we have a disruption
23 with natural gas, those units can run for extended
24 amounts of time. So to replace them with solar and
25 battery storage would require a lot of solar and battery

1 storage. I am doing some mental math here. It's just
2 going to not be cost-effective. It's going to be very
3 expensive.

4 Q Okay. Thank you.

5 Mr. Bradley Marshall asked about your
6 retirement analysis for Polk 1. Do you remember that?

7 A I do.

8 Q Did you do an analysis that showed the -- that
9 compared the retirement of Polk 1 to the simple-cycle
10 conversion of Polk 1?

11 A Yes.

12 Q And which was more cost-effective?

13 A The status quo option was the most expensive
14 option. Retiring it in 2028 was a slight benefit to
15 customers, but converting the unit to simple-cycle was
16 the most cost-effective option.

17 Q Okay. One last series of questions.

18 There was a lot of talk about reserve margin
19 and its role in the company's planning.

20 Are any of the generation additions that you
21 are talking about being proposed solely to meet reserve
22 margin requirements?

23 A Well, as I said earlier, the reserve margin
24 criteria, it's a minimum 20 percent criteria, but to the
25 extent we can add assets that enhance value to the

1 customer, affordability, fuel savings to the customer,
2 fuel price mitigation, we would be comfortable with
3 being slightly above the 20-percent because of the added
4 benefit that it brings to the customer.

5 So not all the proposed additions are strictly
6 due to reserve margin requirement contribution. Many of
7 them are just additional value to customers.

8 I mentioned the \$1.2 billion of fuel cost
9 benefit of the portfolio. Part of that benefit comes
10 from an asset that may not contribute to reserve margin,
11 but it's an economic benefit to customers to do so.

12 **Q Okay. Thank you very much.**

13 MR. WAHLEN: Those are my questions.

14 CHAIRMAN LA ROSA: Great. Thank you.

15 Now, let's --

16 MS. CHRISTENSEN: Commissioner -- this is
17 Patty Christensen with OPC. Mr. Wahlen had asked a
18 question in redirect regarding a comment I made
19 during my cross, but he went further afield, I
20 think, of the topic that I covered. He asked about
21 the use of the land for the South Tampa Resiliency
22 Project, but I think there needs to be some
23 additional information that needs to be ferreted
24 out in cross, and I just have a few follow-up
25 questions.

1 CHAIRMAN LA ROSA: Let me go to my advisors on
2 this. Not typically something that I prefer to do.

3 MS. HELTON: Maybe we should hear from Mr.
4 Wahlen first, Mr. Chairman.

5 CHAIRMAN LA ROSA: Let's do that.

6 MR. WAHLEN: I didn't think I was going beyond
7 the scope of her cross-examination. If I did, it
8 was inadvertent.

9 MS. HELTON: Mr. Chairman, unfortunately I
10 wasn't here at the time. I mean, it's within your
11 prerogative. Mr. Wahlen is supposed to stay within
12 the scope of the cross-examination that is
13 conducted by the parties, and I wasn't here, and I
14 don't have an opinion on that. So it's really
15 within your prerogative whether you think it's
16 appropriate or not, but I could say that it is
17 highly irregular in our practice to have further
18 cross-examination after a party has taken their
19 turn.

20 MS. CHRISTENSEN: Commissioner, I could
21 propose the question I would ask and you can make
22 your decision based on the question I would ask.

23 CHAIRMAN LA ROSA: Yeah, go ahead and propose
24 it.

25 FURTHER EXAMINATION

1 BY MS. CHRISTENSEN:

2 Q And my question would be: How long does TECO
3 have use of the federal land for the South Florida Tampa
4 Resiliency Project, 30 or 35 years?

5 CHAIRMAN LA ROSA: Before you answer that
6 question.

7 MR. WAHLEN: That's fine. She can ask that.
8 I don't object.

9 CHAIRMAN LA ROSA: All right. Go ahead. You
10 can -- you may answer that.

11 THE WITNESS: Yes, I believe it's 30 or 35
12 year.

13 MS. CHRISTENSEN: Thank you.

14 CHAIRMAN LA ROSA: Thank you.

15 Okay. Let's now move exhibits into the
16 record. Let's start with TECO.

17 MR. WAHLEN: Thank you, Mr. Chairman.

18 Tampa Electric moves Exhibit 20 and 144 into
19 the record.

20 CHAIRMAN LA ROSA: 20 and 144. Are there any
21 objections to that?

22 Seeing none, show them entered into the
23 record.

24

25 (Whereupon, Exhibit Nos. 20 & 144 were

1 received into evidence.)

2 CHAIRMAN LA ROSA: OPC.

3 MS. CHRISTENSEN: I would move 230 and, I
4 believe, 226, but it may have already been moved
5 in.

6 CHAIRMAN LA ROSA: Any objections to those
7 exhibits?

8 MR. WAHLEN: No objection.

9 CHAIRMAN LA ROSA: Okay. Show them entered
10 into the record.

11 (Whereupon, Exhibit Nos. 226 & 230 were
12 received into evidence.)

13 CHAIRMAN LA ROSA: LULAC.

14 MR. MARSHALL: We have a list here.

15 CHAIRMAN LA ROSA: Just read them slowly so
16 everyone else can digest them.

17 MR. MARSHALL: Exhibits 545, 552, 557, 582
18 through 589, 591, 605, 633, 637 and 707.

19 MR. WAHLEN: No objections.

20 CHAIRMAN LA ROSA: No objections?

21 Thank you. Show them entered into the record.

22 (Whereupon, Exhibit Nos. 545, 552, 557,
23 582-589, 591, 605, 633, 637 & 707 were received into
24 evidence.)

25 CHAIRMAN LA ROSA: Sierra Club.

1 MR. SHRINATH: Sierra moves to -- moves
2 Exhibit 804 into the record.

3 MR. WAHLEN: No objection.

4 CHAIRMAN LA ROSA: Seeing none, show them
5 entered into the record.

6 (Whereupon, Exhibit No. 804 was received into
7 evidence.)

8 CHAIRMAN LA ROSA: Any other exhibits? See
9 none.

10 Mr. Aponte, you are excused.

11 THE WITNESS: Thank you, Commissioners. I
12 appreciate it.

13 CHAIRMAN LA ROSA: Thank you.

14 (Witness excused.)

15 CHAIRMAN LA ROSA: I will throw it back over
16 to TECO -- in fact, before I do that, let me just
17 kind of just do some housekeeping here.

18 I am still planning to break at 12 o'clock. I
19 know there is some discussions on some of the
20 witnesses. I still, of course, encourage that.

21 What I would like to do this afternoon, later
22 this afternoon, is at six o'clock until 6:30 is
23 have kind of a brief dinner break, and then we will
24 continue after that, so after the 6:30 hour until
25 nine o'clock or so. So just like we -- just to

1 make sure we all have an understanding of the
2 scheduling. It's somewhat early now, so we will
3 see how the rest of the day goes, but I just wanted
4 to give you guys a heads-up for anyone that's got
5 to make any plans or thoughts, or whatnot, of
6 course, lunch hour will hopefully give you enough
7 time to do anything additional. So again, still
8 planning to break at 12:00.

9 (Transcript continues in sequence in Volume
10 6.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER


STATE OF FLORIDA)
COUNTY OF LEON)

I, DEBRA KRICK, Court Reporter, do hereby
certify that the foregoing proceeding was heard at the
time and place herein stated.

IT IS FURTHER CERTIFIED that I
stenographically reported the said videotaped
proceedings; that the same has been transcribed under my
direct supervision; and that this transcript constitutes
a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative,
employee, attorney or counsel of any of the parties, nor
am I a relative or employee of any of the parties'
attorney or counsel connected with the action, nor am I
financially interested in the action.

DATED this 30th day of September, 2024.


DEBRA R. KRICK
NOTARY PUBLIC
COMMISSION #HH575054
EXPIRES AUGUST 13, 2028