


BEFORE THE
FLORIDA SERVICE PUBLIC COMMISSION

 In the Matter of : DOCKET NO. 950001-EI
 :
 Fuel and Purchased Power Cost :
 Recovery Clause with Generation :
 Performance Incentive Factor :

AFTERNOON SESSION
 VOLUME 3
 Pages 310 through 438



PROCEEDINGS: HEARING

BEFORE: COMMISSIONER J. TERRY DEASON
 COMMISSIONER JULIA L. JOHNSON
 COMMISSIONER DIANE K. KIESLING

DATE: Wednesday, March 8, 1995

TIME: Commenced at 9:30 a.m.

PLACE: Fletcher Building
 FPSC Hearing Room 106
 101 East Gaines Street
 Tallahassee, Florida

REPORTED BY: JOY KELLY, CSR, RPR
 Chief, Bureau of Reporting
 SYDNEY C. SILVA, CSR, RPR
 ROWENA NASH HACKNEY
 Official Commission Reporters

APPEARANCES:
 (As heretofore noted.)

FLORIDA PUBLIC SERVICE COMMISSION

DOCUMENT NUMBER-DATE

02812 MAR 15 95

FPSC-RECORDS/REPORTING

I N D E X

WITNESSES - VOLUME 3

1	2	3	4	5	6	7	8	9	10	11	12	13	14	15	16	17	18	19	20	21	22	23	24	25	
		NAME																							
		RENE SILVA																							
		Continued Cross Examination By Mr. Kaufmann																							
		Cross Examination By Mr. Howe																							
		Cross Examination By Mr. McWhirter																							
		Cross Examination By Ms. Brown																							
		Redirect Examination By Mr. Childs																							
		STEVEN M. FIETEK																							
		Direct Examination By Mr. Kaufmann																							
		Prefiled Direct Testimony Inserted																							
		BARRY T. BIRKETT (REBUTTAL)																							
		Direct Examination By Mr. Childs																							
		Prefiled Direct Testimony Inserted																							
		Cross Examination By Mr. Kaufmann																							
		Cross Examination By Ms. Brown																							
		RENE SILVA (REBUTTAL)																							
		Direct Examination By Mr. Childs																							
		Prefiled Direct Testimony Inserted																							
		Cross Examination By Mr. Kaufmann																							
		Cross Examination By Ms. Brown																							
		DONALD MESTAS																							
		Direct Examination By Mr. Beasley																							
		Prefiled Direct Testimony Inserted																							
		Cross Examination By Mr. Howe																							
		Cross Examination By Ms. Brown																							

EXHIBITS - VOLUME 3

NUMBER		IDENTIFIED	ADMITTED
43	(Silva) Article from Wall Street Journal, February 8, 1995	314	341
11			341
40			341
41			341
42			341
44	(Fietek) Changes to the Direct Testimony of Steven M. Fietek	343	361
22			361
18			377
19			403
20			403
45			404

P R O C E E D I N G S

(Hearing reconvened at 1:05 p.m.)

(Transcript continues in sequence from

Volume 2.)

COMMISSIONER DEASON: Call the hearing back to order. Mr. Kaufmann, I believe you were inquiring.

MR. KAUFMANN: I was, but we need a witness, Your Honor.

COMMISSIONER DEASON: I guess it would help, wouldn't it? Maybe, can you do answers and questions?

(Laughter)

You would be surprised, we have a lot of attorneys around here who tried to answer questions within their questions.

MR. KAUFMANN: I will if you let me.

(Laughter)

COMMISSIONER DEASON: We try not to do that, though.

Mr. Kaufmann?

1 RENE SILVA

2 resumed the stand as a witness on behalf of Florida
3 Power and Light Company and, having been previously
4 sworn, testified as follows:

5 CONTINUED CROSS EXAMINATION

6 BY MR. KAUFMANN:

7 Q Good afternoon, Mr. Silva. I have handed out
8 and you should have in front of you now what I would
9 like to be marked Exhibit 43 for identification, which
10 is an article regarding natural gas prices from the
11 February 8, 1995, Wall Street Journal. Do you have that
12 in front of you now?

13 (Exhibit No. 43 marked for identification.)

14 A Yes.

15 Q Did you in the last minutes have any chance to
16 read that?

17 A I glanced at it, yes.

18 Q Would you mind reading for us the first and
19 fourth paragraphs of that article?

20 A "Natural gas futures prices suffered their
21 biggest daily decline in almost two months amid
22 expectations the chill that settled over the northeast
23 last week might be short-lived.

24 "Analysts said natural gas inventories are
25 running at levels about 25% higher than last year

1 despite the cold snap of last week. An unusually warm
2 winter has caused prices for both natural gas and
3 heating oil to remain soft through most of the heating
4 season."

5 Q Thank you.

6 Mr. Silva, is it correct to say that since May
7 of 1994, your natural gas costs have been tied to the
8 market price?

9 A Yes.

10 Q Is it also correct to say that FP&L purchases
11 40% of its natural gas for the period beginning
12 March 1995 on the spot market as compared to only 10%
13 prior to February 1995?

14 A Yes.

15 MR. KAUFMANN: I have no further questions at
16 this time.

17 COMMISSIONER DEASON: Mr. Howe?

18 CROSS EXAMINATION

19 BY MR. HOWE:

20 Q Hello, Mr. Silva.

21 Mr. Silva, over what time period were
22 modifications made to the eight generating units on
23 Florida Power and Light's system?

24 A The modifications began in early 1994 and they
25 were completed at the end of -- by the end of February

1 of this year, so about a year.

2 Q Did Florida Power and Light include any of
3 these costs of plant modifications in its fuel
4 adjustment projections in any of the previous fuel
5 adjustment dockets?

6 A No.

7 Q Why not?

8 A We were trying to, first of all, determine
9 whether it would be appropriate to recover those costs
10 through the environmental clause, and also we were
11 trying to get a better estimate near the time of
12 completion so that we could present to the Commission a
13 good estimate of what the total costs would be. And we
14 had the schedule for these modifications through the
15 year 1994, so we were waiting to factor it at this time.

16 Q You mentioned the environmental clause. Do
17 you believe that these expenditures, these plant
18 modifications that you are requesting -- the costs that
19 you are requesting to recover through the fuel clause,
20 that Florida Power and Light could have alternatively
21 requested recovery through the environmental clause?

22 A We examined that possibility and we believe
23 that it could have been but that it was a better fit
24 under the fuel clause because the central focus of the
25 modifications was to reduce fuel costs.

1 Q The costs that Florida Power and Light
2 incurred for the plant modifications, those were
3 essentially to reduce emissions, were they not?

4 A They were to reduce emissions, yes.

5 Q Was Florida Power and Light required by any
6 regulatory agency or governmental body to reduce the
7 sulfur content of its fuel oil -- I'm sorry, to increase
8 the sulfur content of its fuel oil so that modifications
9 would have to be made to its emission control systems?

10 A No.

11 Q Did Florida Power and Light then essentially
12 elect voluntarily to burn a higher sulfur fuel and that
13 the cost of the emissions modifications were just
14 necessitated by that voluntary decision?

15 A That's correct. And the decision was based in
16 order to reduce fuel costs for the customers.

17 Q Mr. Silva, can you give an example of a
18 voluntary plant modification that Florida Power and
19 Light has made or might make that wouldn't reduce fuel
20 costs? (Pause)

21 A I believe that there are certain -- I don't
22 know if you would call them modifications. But, for
23 example, the installation of the CEMs, the monitoring
24 devices that are required by environmental restrictions
25 or by law, have nothing to do with reducing fuel costs.

1 We are making plant modifications and installing new
2 equipment in order to comply with the law.

3 Q My question, though, went to voluntary
4 modifications, those that Florida Power and Light is not
5 compelled to install because of governmental edict.

6 A I understand. I missed that part of your
7 question.

8 I can't think of any at this point. I know
9 that there is ongoing work in upgrading equipment at our
10 plants; but I haven't focussed on which ones they are
11 making unless they have some relation to fuel, because
12 that's what I focus on.

13 Q Virtually any voluntary modification to a
14 generating unit would be to either keep it on line,
15 which would -- well, first, for example, would you make
16 modifications if necessary to keep a generating unit on
17 line?

18 A Well, certainly you could do that to lengthen
19 the life of a plant. You could also do it if an
20 equipment modification might reduce your operating
21 costs, nonfuel operating costs. Those would be types
22 that would not, in my opinion, flow through the fuel
23 clause.

24 Q They wouldn't flow through the fuel clause but
25 you wouldn't make those modifications, would you -- for

1 example, you wouldn't make modifications to extend the
2 life of a plant if the system would operate more
3 efficiently with a lower net fuel cost with the plant
4 off line, would you?

5 A I think you might do it if you could avoid a
6 cost that is not a fuel cost, i.e., a capital cost or an
7 O&M cost, even though it doesn't gain you anything in
8 terms of fuel.

9 Q The modifications that were made to the eight
10 generating units that comprise the approximately \$2.8
11 million that you are requesting to recover through the
12 fuel clause, how much of that \$2.8 million was for
13 capital improvements?

14 A What do you mean by "capital improvement"?

15 Q Maybe I should ask you. In your previous
16 answer you referred to O&M costs and capital costs.
17 Would you please define capital costs, and then we'll
18 see if any of these modifications fit within your
19 definition.

20 A Well, absent the fuel clause and our ability
21 to recover these costs through the fuel clause, I would
22 anticipate that the modifications would be capitalized.
23 But they were not done either to extend life or to
24 reduce O&M, they were simply made in order to enable us
25 to burn a cheaper fuel.

1 So I would say that they would have been
2 capitalized except in this instance we are proposing
3 that they be recovered through the fuel clause. But
4 they are not capital additions or modifications that we
5 would have done absent the benefit of fuel clause
6 savings.

7 Q Given that the modifications were completed, I
8 believe you said, in February of this year?

9 A Yes.

10 Q Have they been capitalized on Florida Power
11 and Light's books at this time? And I should correct
12 that, have the expenditures been placed in accounts that
13 are considered capital accounts?

14 A I know they have been booked but I don't know
15 in what accounts they have been placed.

16 Q Do you know if the Commission were to grant
17 the Company's request whether the Utility would have to
18 modify the booking of these expenses as they are
19 currently reflected on the Utility's books?

20 A I don't know that.

21 Q If Florida Power and Light has basically
22 guessed wrong, if some anomaly in the marketplace would
23 cause high sulfur fuel to cost more than low sulfur
24 fuel, would Florida Power and Light propose to give the
25 money back?

1 A No.

2 Q Will these modifications lower Florida Power
3 and Light's average fuel cost?

4 A Yes.

5 Q Will these modifications improve Florida Power
6 and Light's ability to make economy sales?

7 A I haven't seen any calculation that looks at
8 that. But all other things being equal, I would assume so.

9 Q Would these modifications enable Florida Power
10 and Light to earn additional revenues through the gain
11 on economy of sales, which I understand are calculated
12 on a split-the-savings basis?

13 A To the extent that they enabled us to sell
14 more, I assume that we would derive that benefit, yes.

15 Q Would you agree that, if you do derive that
16 benefit, that Florida Power and Light's investment will
17 on the one hand reduce its fuel costs but, on the other
18 hand, would reduce its profits to the Company?

19 A Could you repeat the question again.

20 Q Would you agree that if Florida Power and
21 Light is able to make additional economy sales that
22 essentially these modifications will allow Florida Power
23 and Light on the one hand to reduce its expenses, its
24 fuel costs, but on the other hand to increase its
25 profits -- which I'm lumping gains on economy of sales

1 in as a profit.

2 A I think yes. But I think that that would be
3 the case if we recovered it through base rates, as well.

4 Q And if you recovered it through base rates, it
5 would be an investment designed to generate a return,
6 would it not?

7 A Yes.

8 Q And would you agree that the fuel clause
9 recovery mechanism is intended as a reimbursement for
10 expenses to provide a matching between expenses and
11 revenues for a category of expenses that are considered
12 volatile?

13 A Well, I think that prior discussion with
14 Mr. Birkett has indicated that the fuel clause and the
15 order that implements the fuel clause agrees with the
16 fact that these types of modifications are allowed under
17 the fuel clause. That modifications that would
18 otherwise be recovered through base rates but whose
19 primary purpose is the reduction of fuel costs, as it is
20 in this case, can be recovered through the fuel clause.

21 So I think that what we are proposing here is
22 consistent with the intent of the fuel clause.

23 Q Well, do you have a copy of that order?

24 A No, I do not. (Witness provided document.)

25 Q Mr. Silva, I have just given you a copy of

1 Commission Order 14546. I believe the Commission has
2 already taken official notice of that order, it was
3 issued July 8, 1995, in Docket No. 850001-EI-B.

4 Would you take a look there at Page 5 of Order
5 No. 14546, and specifically at Paragraph No. 10.

6 A Yes.

7 Q Is that the provision you were referring to,
8 Mr. Silva?

9 A Yes.

10 Q Would you note, please, that that paragraph
11 begins with the words, "Fossil fuel-related costs
12 normally recovered through base rates." What do you
13 consider fossil fuel-related costs to be?

14 A Those are costs related to the use of fossil
15 fuels.

16 Q For example, if Florida Power and Light didn't
17 have any nuclear units, would all its costs be fossil
18 fuel related?

19 A I don't think so.

20 Q Well, what costs do you believe would be
21 fossil fuel related?

22 A Well, oil is a fossil fuel. The modifications
23 that we are talking about here are being implemented in
24 order to burn a different type of oil, which is a fossil
25 fuel. So in my mind, that is a fossil fuel-related

1 cost.

2 I think it also talks about "normally
3 recovered through base rates." So it doesn't restrict
4 it to fuel costs per se, because those would be
5 recovered through the fuel clause anyway, not normally
6 through base rates. So clearly the intent is to broaden
7 it beyond fuel. And my reading is that something that
8 is done in order to use fossil fuel, and further, to
9 save fuel costs to the customers, fits under this
10 paragraph.

11 Q Well, in that regard, is it the Company's
12 position that they should be allowed to recover these
13 costs through the fuel clause because there are savings
14 or because there is a change in the sulfur content of
15 the fuel? Let me give you an example, if I might.

16 Would Florida Power and Light believe that
17 this paragraph under Order No. 14546 would allow it to
18 seek recovery if it put in place plant modifications
19 that allowed it to burn the lower sulfur oil that it was
20 previously burning but more efficiently?

21 A I think, to the extent that the end result was
22 a fuel savings to the customer, that that would meet
23 this requirement.

24 Q Well, do you believe that plant modifications
25 designed to allow the utility to burn low sulfur fuel

1 oil more efficiently would fit within this definition?

2 A It could, subject to the Commission reviewing
3 it on a case-by-case basis.

4 Q Do you believe it would -- would it only
5 apply, would the Company's position as to those
6 fuel-related costs for which it could seek recovery be
7 limited to physical plant modifications at generating
8 units?

9 A I can't predict what the Company's position
10 would be in a hypothetical case. I'm trying to show how
11 this particular instance, which is specific and which
12 talks about modifications to let us burn a higher sulfur
13 and therefore cheaper fuel at the plant, meets this
14 requirement. I don't know that I could speculate as to
15 what might or might not be -- might also fit under this
16 clause at this time. I haven't really thought about it.

17 Q At the time of the Utility's last rate case,
18 did Florida Power and Light anticipate that in the
19 future it might make plant modifications to enable it to
20 provide electricity at a lower cost?

21 A I don't know.

22 Q Well, that's one of the requirements of this
23 paragraph, is it not, Mr. Silva, that it would be costs
24 which were not recognized or which were not anticipated
25 in the cost levels used to determine current base rates?

1 So you don't know what the Company's anticipation was at
2 the time of its last rate case?

3 A In 1983, I do not know as part of the rate
4 case what were the Company's intentions.

5 MR. CHILDS: Well, I would object to that
6 characterization. If you look to the order, it does use
7 the word "anticipated," but it uses it by saying
8 "anticipated in the cost levels used to determine
9 current base rates." So I think it is more than, "Did
10 you think about doing it," but, "Were your cost levels
11 adjusted to reflect it," so I object to that
12 characterization.

13 MR. HOWE: The objection is well-taken.

14 COMMISSIONER DEASON: Thank you, Roger.

15 MR. HOWE: But I think I can still go down
16 this path.

17 COMMISSIONER DEASON: I'm sure you can.

18 Q (By Mr. Howe) Mr. Silva, do you know whether
19 at the time of the Utility's last case the Utility made
20 any pro forma adjustments -- assuming we're dealing with
21 historic test years at that time. But, if not, whether
22 they included in their projections any anticipated
23 future modifications to its generating units to enable
24 those units to burn fuel more efficiently or less
25 expensively?

1 A My perception is that the pro forma was for a
2 test period that was no longer than about 1985, and I
3 don't know what specifically was included in that pro
4 forma projection.

5 Q Do you know whether that test period included
6 any anticipated expenses for plant modifications to
7 improve efficiencies or to lower the cost of fuel on
8 Florida Power and Light's system but which were not
9 instituted by the Company?

10 A I do not know. I really don't.

11 MR. HOWE: I have no further questions. Thank
12 you, Mr. Silva.

13 COMMISSIONER DEASON: Mr. McWhirter?

14 CROSS EXAMINATION

15 BY MR. McWHIRTER:

16 Q Mr. Silva, on Page 20 of your testimony you
17 indicate that \$8 million of the savings will occur this
18 summer and then an additional \$81 million in savings
19 will occur in the subsequent four years.

20 Can you give me the rationale for writing off
21 the total cost in the first six months of the savings
22 rather than spreading the cost over the period during
23 which the savings will occur?

24 A The calculations as to over what period to
25 recover the costs were performed under the direction of

1 Mr. Birkett. But my --

2 Q So you don't know what the rationale is for
3 that?

4 A But my understanding is that, given the
5 savings that were realized, that the impact on the
6 customer would be lower if these costs were recovered
7 quickly. And that's the only explanation that I
8 understood was the basis for our decision.

9 Q I think that explanation is a little bit
10 general for me to understand. Why will the costs be
11 lower if we recover it from the customers in the first
12 six months rather than over the four-year period?

13 A I'm afraid that I was not involved in the
14 calculation or the underlying assumption, so I can't
15 answer that question.

16 Q All right, sir. The reason that these
17 modifications have come in is because of concerns that
18 the Environmental Protection Agency may conclude that a
19 less expensive grade of fuel would exceed your opacity
20 limit. Why is it you chose to bring these modifications
21 through the fuel clause rather than the environmental
22 clause?

23 A In reading the provisions that govern what is
24 recovered through the environmental cost recovery clause
25 and the fuel clause, we found that it was a more

1 accurate, more appropriate fit to recover through the
2 fuel clause because it was a change that was
3 specifically aimed at the reduction of fuel costs. And
4 the order that we have been discussing specifically
5 talks about the ability of the Company to request and
6 the Commission to grant recovery of such costs through
7 the fuel clause, and we thought that it was a better,
8 more appropriate fit there.

9 Q This is, on the whole of the magnitude of your
10 annual gross revenues \$2.7 million, is a miniscule
11 amount. Do you have other similar modifications of
12 other facilities that are on the drawing boards that
13 will be brought forward in prospective rate cases, to
14 your knowledge, or cost recovery cases, to your
15 knowledge?

16 A Not to my knowledge.

17 Q Your orimulsion issues on that plant up in
18 Manatee County, there was some modifications required to
19 accommodate the orimulsion fuel. Were those costs
20 passed through the fuel clause?

21 A Well, no costs related to the orimulsion
22 conversion have been passed through the fuel clause.
23 That was an issue that was discussed before the
24 Commission last summer; however, we have not begun to
25 operate on orimulsion. So the Commission's order on

1 that that we could recover costs of conversion on an
2 accelerated basis through the fuel cost clause is still
3 pending our ability to get the permits and to begin
4 operation. Which we don't anticipate will happen before
5 1998.

6 Q What's the magnitude of those costs,
7 conversion to make orimulsion possible?

8 A I believe that FP&L's component share of the
9 capital costs is \$66 million.

10 Q Will you attempt to collect that \$66 million
11 in a six-month period if you conclude it enables you to
12 develop a lower fuel cost?

13 A The Commission's order enables us to recover
14 on an accelerated basis using one-half of net fuel
15 savings proceeds produced by the orimulsion conversions.
16 To the extent that fuel savings exist and they are
17 large, we can recover quickly. If they are not as
18 large, then we cannot recover as quickly. But the
19 formula has been set.

20 Q But you don't think that approach is
21 appropriate for this modification?

22 A I don't know, because I didn't really
23 participate in the calculation of how to recover it
24 other than through the fuel clause.

25 MR. McWHIRTER: I tender the witness.

1 COMMISSIONER DEASON: Staff?

2 CROSS EXAMINATION

3 BY MS. BROWN:

4 Q Just a few questions, Mr. Silva.

5 You stated earlier that the modifications to
6 all of the generating units have been completed as of
7 the end of last month?

8 A Yes.

9 Q Were the final costs for those modifications
10 different than what you originally projected?

11 A Let me clarify a point.

12 The work has been completed and the units with
13 the modifications have been placed in service. There
14 are some pending invoices that still require us to keep
15 the cost as an estimate until those are cleaned up. The
16 current estimate is about \$2.844 million and I can give
17 you the exact number of that estimate. It is
18 \$2,844,705.

19 Q That's your current estimate?

20 A That's our current estimate of what the final
21 amount will be.

22 Q Which is in the range, is it not, of what you
23 originally projected?

24 A Yes.

25 Q In the last 13 months, Mr. Silva, has the

1 difference between your natural gas estimates and your
2 actual natural gas costs put Florida Power and Light in
3 the position where its overrecovery of fuel costs would
4 exceed the Commission-established 10% threshold for
5 requesting a midcourse correction?

6 A No. Because natural gas costs are only a part
7 of our fuel expense for the period. And even though in
8 a number of instances or most of the time during that
9 period gas costs have been lower than we had
10 anticipated, there have been other factors during the
11 period -- and there are many, beginning with the amount
12 of sales, the costs of other fuels, the availability of
13 other sources of energy, et cetera -- that combined with
14 natural gas have resulted in the variance being
15 relatively small and certainly less than 10%.

16 Q If the discrepancy between your natural gas
17 estimates and your actual costs did exceed 10%, you
18 would, would you not, request a midcourse correction
19 from the Commission --

20 A Yes.

21 Q -- to balance it out?

22 A Yes. And further, if we even thought that it
23 would come close to the 10% variance, we would come and
24 inform the Commission. We would wait until that
25 actually happened, but we would inform the Commission

1 ahead of time and try to prevent that variance from
2 developing to that level.

3 Q And you have done that in the recent past,
4 have you not?

5 A Yes. I believe more than ten times in the
6 last 15 years and maybe perhaps four times in the last
7 five years.

8 MS. BROWN: We have no further questions.

9 COMMISSIONER DEASON: Commissioners,
10 questions?

11 Mr. Silva, I have just a couple of questions.
12 and I'm not really sure if you're the correct witness,
13 maybe Mr. Birkett would be; and if need be, I can ask
14 those questions when he testifies on rebuttal.

15 My question is: The cost of the modifications
16 which you are seeking to be included in on the current
17 fuel factor, those, I believe you agree, are capital
18 costs, are they not?

19 WITNESS SILVA: I believe that under normal
20 circumstances they would be capitalized, Commissioner.

21 COMMISSIONER DEASON: And is it your
22 understanding that the Company has or will be including
23 those costs as capital costs in its accounting records?

24 WITNESS SILVA: Well, I don't know if they
25 have been included as capital costs to date. Certainly,

1 if we were to recover them through the fuel clause, they
2 would not be also part of our acid base -- rate base, if
3 you would.

4 COMMISSIONER DEASON: Well, that's my concern.
5 And I guess my question, to be more direct, is what is
6 the mechanism that you will employ to ensure that that
7 does not happen?

8 WITNESS SILVA: Let me venture -- and perhaps
9 it would be better if you asked in this level of detail
10 Mr. Birkett. But we would begin to recover through the
11 fuel clause and it would not be reflected in base -- in
12 the rate base. And if we had a subsequent rate case, at
13 that time, the undepreciated value would be considered
14 for then moving as part of the rate base, so that
15 recovery through the fuel clause would discontinue and
16 it would be then henceforth treated as a capital asset,
17 the undepreciated portion.

18 I think the intent of all this is, as I read
19 the Commission's intention in its order, is not provide
20 a disincentive to the Commission -- I'm sorry, to the
21 Company to make a change that would be beneficial to the
22 customer simply because there may be a long period of
23 time between rate cases. But the mechanism I know
24 exists because it has been implemented in the past in
25 other situations and the safeguards do exist. But I

1 can't speak in detail to those.

2 COMMISSIONER DEASON: Okay. So you don't know
3 if those costs will be capitalized on your books and
4 that the recovery of those costs will be reflected in
5 some type of an accelerated depreciation such that the
6 net book value would be zero after recovery?

7 WITNESS SILVA: I believe that there is no
8 decision that requires accelerated depreciation except
9 to the extent that, based on our request, the Commission
10 were to approve it.

11 In other words, if the Commission were to
12 approve that we could recover those costs during the
13 current or the projected period, then certainly they
14 would be totally depreciated and they would never go
15 into the books.

16 However, there are two parts to our request:
17 One is that we recover through the fuel clause; the
18 other is that we recover it through the projected
19 period.

20 We could recover it, for example, as an
21 alternative, through the fuel clause but between now and
22 the year 1999. And if we had a rate case in '97 or '98,
23 at that time the undepreciated value of those assets
24 might be then shifted into base rates.

25 COMMISSIONER DEASON: Redirect?

1 MR. CHILDS: Yes, I have several questions.

2 REDIRECT EXAMINATION

3 BY MR. CHILDS:

4 Q You were asked some questions, Mr. Silva,
5 about the potential for economy sales associated with
6 these units for which the modifications have been made.
7 Are all those units fueled on oil?

8 A All the units use oil, yes.

9 Q Are you aware of the Company making any
10 significant level of economy sales using oil as the
11 source of fuel?

12 A I don't know the fuel that is used to make
13 economy sales.

14 Q Okay. Do you know of any recognized experts
15 in the area for forecasting prices of natural gas?

16 A I'm sorry?

17 Q Are you aware of any recognized experts in the
18 area of forecasting the prices for natural gas?

19 A Yes. We work closely with at least one
20 expert, Petroleum Industry Research Associates. And
21 there are others that we talk to frequently.

22 Q Has it been your experience that all experts
23 agree as to the price level of natural gas on a
24 forecasted basis?

25 A No, they certainly disagree significantly.

1 Q Are you aware as to whether Florida Power and
2 Light's forecasted prices for natural gas in a six-month
3 period is higher or lower than that being currently
4 forecasted by other companies in Florida?

5 A We compared our forecasted price of natural
6 gas; and invariably, in the state of Florida, our
7 forecast is the lowest of any utility, be it
8 investor-owned, a local distribution company. The ones
9 that we had access to the information, we were the
10 lowest.

11 Q You were asked some questions about, I believe
12 it is, the December 2, 1994, and the February 6, 1995,
13 sections from the Wall Street Journal containing some
14 futures market prices for natural gas. Do you recall
15 those questions?

16 A Yes.

17 Q What is the futures market?

18 A The futures market is a forum, in essence,
19 where some buyers on any given day and some sellers on
20 any given day can agree to trade for delivery of fuel in
21 the future at a set price. The price at which they
22 agree to trade in the future will fluctuate
23 significantly from day to day, from hour to hour.

24 For example, for April 1995, the trading
25 started 18 months before. And every day and every hour

1 of every trading day the price will fluctuate. And the
2 price today on the futures market for gas is \$1.45 per
3 MMBtu; but since trading started in that market, there
4 has been a low of \$1.36, which is close to the current
5 price. But there also been a high of \$2.31. And it
6 just happens that those are the prices that at a given
7 time a seller sold at that price thinking that prices
8 would be going lower, and a buyer purchased at that
9 price thinking that the price would be going higher, so
10 he was making a bargain at that price. And that's what
11 the futures market in my opinion represents.

12 Q Does the information published in the Wall
13 Street Journal reflect the volume traded at the prices
14 that are quoted for natural gas?

15 A It talks about the open interest but not
16 necessarily the total volume traded.

17 MR. CHILDS: Okay. Mr. Kaufmann, there were
18 some questions that you had on A Schedules that you
19 passed to the witness and I can't find my any more. Do
20 you happen to have another copy?

21 MR. KAUFMANN: Sure. (Pause)

22 Q (By Mr. Childs) Mr. Silva, do you recall
23 being asked questions by Mr. Kaufmann concerning the
24 Schedule A3 that were furnished by FPL in response to
25 Florida Steel's Interrogatory No. 1?

1 A Yes, sir.

2 MR. CHILDS: I have distributed, Commissioner,
3 a copy of a Schedule A1, which is Page 4 of BTB-4 --
4 excuse me, BTB-4, which has been marked and stipulated
5 in this record as Exhibit 10.

6 Q (By Mr. Childs) Now, some of the questions
7 that you were asked, Mr. Silva, as to the variances
8 between forecasted levels of fuel and the actual levels
9 of fuel prices -- that is, for gas -- cover the period
10 April 1994 through September 1994, are they not?

11 A Yes.

12 Q Would you look at Line 29 of this sheet I just
13 gave you, Schedule A1?

14 A Yes.

15 Q And would you look under the percent
16 difference column in dollars?

17 A Yes. The percent difference between the
18 estimated and the actual for the entire period is 1.3%.

19 Q And that's a negative?

20 A That's a negative.

21 MR. CHILDS: All right.

22 I'd like to have this sheet marked for
23 identification, Commissioner.

24 COMMISSIONER DEASON: I thought you indicated
25 it was already part of Exhibit 10 and in this record.

1 MR. CHILDS: It is. And I did sufficiently
2 identify it, that's fine.

3 Q (By Mr. Childs) Mr. Silva, are you aware of
4 any futures markets for commodities that are not
5 volatile in price?

6 A No, sir. It strikes me that by definition for
7 anyone to take the trouble to establish a futures market
8 it requires it to be volatile. For example, at one
9 point in the past we asked representatives of the New
10 York Mercantile Exchange why there wasn't a futures
11 market for coal, which, of course, we use in our plants,
12 as well. And the answer was, there's no volatility,
13 there's no point in establishing a market when everybody
14 agrees what the price is and what it is going to do.

15 MR. CHILDS: I have no further questions.

16 COMMISSIONER DEASON: Exhibits?

17 MR. CHILDS: I would look to move Mr. Silva's
18 exhibits on direct, which are, I believe, Exhibit 11.

19 COMMISSIONER DEASON: Without objection,
20 Exhibit No. 11 will be admitted. Mr. Kaufmann, do you
21 wish to move any exhibits at this time?

22 MR. KAUFMANN: Yes, Exhibits 40 through 43.

23 COMMISSIONER DEASON: Without objection,
24 Exhibits 40 through 43 will be admitted.

25 (Exhibit Nos. 11 and 40 through 43 received in

1 evidence.)

2 COMMISSIONER DEASON: Thank you, Mr. Silva.

3 (Witness Silva excused.)

4 - - - - -

5 COMMISSIONER DEASON: Mr. Kaufmann, I believe
6 your witness is next.

7 MR. KAUFMANN: Mr. Fietek.

8 STEVEN M. FIETEK

9 was called as a witness on behalf of Florida Steel
10 Corporation and, having been duly sworn, testified as
11 follows:

12 DIRECT EXAMINATION

13 BY MR. KAUFMANN:

14 Q Mr. Fietek, you have already been sworn in
15 this docket. For the record, could you please state
16 your name, name, address and by whom you are employed?

17 A My name is Steven M. Fietek. My address is 60
18 South Sixth Street, Suite 2150, Minneapolis. I'm
19 currently employed by Dahlen, Berg & Co.

20 Q By whom were you retained in this case?

21 A I was retained by Florida Steel Corporation.

22 Q Do you have in front of you what has now been
23 marked as Exhibit 22, which is a set of documents
24 entitled, "Direct Testimony of Stephen Fietek," and
25 attached schedules?

1 A Yes.

2 Q Did you prepare these documents to be your
3 testimony and sponsored schedules in this docket?

4 A Yes.

5 Q Do you have any corrections, revisions or
6 alterations to your testimony at this time?

7 A Yes.

8 Q And what is the nature of those changes and
9 why did they come about?

10 A I have one change to my direct testimony.
11 Based upon my review of the issues raised by Mr. Silva
12 in his rebuttal testimony -- he raised several issues.
13 There's one issue in particular which he raised which
14 related to the heat count, the number of Btus per
15 megawatt-hour.

16 In reviewing that rebuttal testimony, I
17 determined that I agree with that testimony and,
18 therefore, would reduce the overestimated costs which I
19 feel that FPL had overestimated from 65 million down to
20 the 43 million adjustment proposed by Mr. Silva in his
21 rebuttal testimony. And I have put that on to one page
22 here as far as a summary of that.

23 MR. KAUFMANN: Commissioners, I would ask that
24 that summary of that change to his testimony be
25 distributed and attached as a revision to his testimony?

1 COMMISSIONER DEASON: First of all, let's
2 distribute that, and we'll take a break and let all
3 parties review that. And then it may be appropriate
4 just to identify that as an exhibit and have it admitted
5 into evidence.

6 MR. KAUFMANN: Yes, sir. (Pause)

7 COMMISSIONER DEASON: The document which is
8 being distributed will be identified as Exhibit No. 44.

9 (Exhibit No. 44 marked for identification.)

10 COMMISSIONER DEASON: And we'll take ten
11 minutes at this time.

12 (Brief recess.)

13 - - - - -

14 COMMISSIONER DEASON: I call the hearing back
15 to order. Mr. Kaufmann.

16 Q (By Mr. Kaufmann) Mr. Fietek, with the
17 addition of the changes that are on Exhibit No. 44, does
18 your testimony now correctly reflect your testimony in
19 this docket?

20 A Yes.

21 Q Given those changes in the testimony as
22 already filed, would you please summarize your position
23 in this case?

24 MR. CHILDS: Well, if you are going to
25 summarize, before you -- I was going to raise this when

1 he got to the point of asking to have the testimony
2 inserted, and perhaps I had better do it now if the
3 summary is going to address the change.

4 COMMISSIONER DEASON: Please proceed.

5 MR. CHILDS: I would object to what is styled
6 "Changes to the Direct Testimony of Steven Fietek" being
7 made a part of testimony. It goes beyond a change or
8 correction and instead relates to something that was
9 pointed out in the rebuttal testimony of Mr. Silva to
10 Mr. Fietek's testimony.

11 I think if Mr. Fietek at some point wanted to
12 say that in making his calculation he omitted to reflect
13 the impact of heat rate, that's fine. But to state that
14 he does not agree with the issues raised in Mr. Silva's
15 testimony with with the exception of one, as he does on
16 Line 10, changes the whole thrust of this so that it is
17 not a correction to his testimony, it is additional
18 direct.

19 COMMISSIONER DEASON: Let me ask you this
20 question. Would you be agreeable to having this become
21 part of the record if Line 10 and the first four words
22 on Line 11 are stricken?

23 MR. CHILDS: Yes.

24 COMMISSIONER DEASON: Mr. Kaufmann?

25 MR. KAUFMANN: If that's what it takes. I'm

1 surprised there's an objection to a concession and
2 admission of this nature, but if it is necessary, all
3 right.

4 COMMISSIONER DEASON: Given that, then, all of
5 Line 10 and the first four words of Line 11 will be
6 stricken.

7 Mr. Kaufmann, you may proceed.
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 I. PURPOSE OF TESTIMONY

2 Q. Would you please state your name, address, and occupation?

3 A. My name is Steven M. Fietek. My business address is 2150 Dain Bosworth Plaza,
4 60 South Sixth Street, Minneapolis, Minnesota. I am a consultant with Dahlen,
5 Berg & Co., a consulting firm specializing in energy-related matters.

6 Q. What is the purpose of your testimony?

7 A. The purpose of my testimony is to address deficiencies in Florida Power & Light
8 (FPL) Company's petition for approval of fuel cost recovery factors and capacity
9 cost recovery factors as filed by FPL in Docket No. 950001-EI, dated January 17,
10 1995.

11 Q. By whom were you engaged?

12 A. Dahlen, Berg & Co. was engaged by Florida Steel Corporation (Florida Steel) who
13 operates a steel recycling and manufacturing plant in Jacksonville, Florida. Florida
14 Steel is a customer of FPL who purchases electric power pursuant to FPL's
15 Commercial/Industrial Load Control Program (CILC-1) tariff. Florida Steel's
16 Jacksonville facility is one of FPL's largest industrial customers, with a peak load
17 of nearly 45 mW and annual energy consumption of nearly 220,000 mWh. The
18 cost of doing business for Florida Steel is directly and substantially affected by
19 FPL's electric rates. Therefore, Florida Steel is interested in assuring that rates
20 charged by FPL are reasonable.

21 Q. What is the scope of work you performed in this case?

22 A. I reviewed FPL's petition, direct testimony, and exhibits filed in this case.

23 Q. How is your testimony organized?

24 A. My testimony is presented in the following sections.

25 • Section III, Natural gas costs are overstated by \$65.5 million

- 1 • Section IV, Equipment modifications should be capitalized and depreciated
- 2 • Section V, Purchased power capacity cost allocations should be reviewed

3

4 **II. STATEMENT OF QUALIFICATIONS**

5 Q. Please summarize your experience in the area of public utility regulation.

6 A. I conducted discovery, performed analyses and prepared testimony on behalf of the
7 Iowa Energy Consumers related to Midwest Power Systems' filing for a general
8 rate increase in Iowa State Utilities Board Docket No. RPU-94-4.

9

10 I conducted discovery, performed analyses and prepared testimony on behalf of the
11 Coalition of Industrial Energy Users related to IES Utilities, Inc.'s filing for a
12 general rate increase in Iowa State Utilities Board Docket No. RPU-94-2.

13

14 I conducted discovery, performed analyses and prepared testimony on behalf of the
15 Minnesota Alliance for Fair Competition related to subsidization and cost
16 allocation issues in the matter of its complaint against Minnegasco, a Division of
17 Arkla, Inc., in Minnesota Public Utilities Commission Docket No. G-008/C-91-
18 942.

19

20 I conducted discovery, performed analyses and prepared a class cost of service
21 study on behalf of the Minnesota Energy Consumers related to Minnegasco's filing
22 for a general rate increase in Minnesota Public Utilities Commission Docket No.
23 G-008/GR-93-1090.

24

25 I conducted discovery, performed analyses and prepared testimony on behalf of the

1 Northern Illinois Committee for Fair Competition related to cost allocation and
2 subsidization issues in the matter of its complaint against Northern Illinois Gas
3 Company, NICOR, and NICOR Energy Services in Illinois Commerce
4 Commission Docket No. 93-0111.

5
6 I conducted discovery, performed analyses and prepared testimony on behalf of the
7 Minnesota Alliance for Fair Competition on the value of Minnegasco's name and
8 reputation in Minnesota Public Utilities Commission Docket No. G-008/GR-93-
9 1090.

10
11 I conducted discovery, performed analyses and prepared testimony on behalf of the
12 Independent Heating Contractors Association of Wisconsin related to cost
13 allocation and subsidization issues in Wisconsin Power & Light Company's filing
14 for a general rate increase in Public Service Commission of Wisconsin Docket No.
15 6680-UR-109.

16
17 I conducted discovery, performed analysis and prepared a report on behalf of
18 Nebraska Municipalities in KN Energy, Inc.'s 1993 filing for a gas rate increase in
19 Nebraska.

20 Q. Do you have any additional experience evaluating company filings to determine if
21 proposed costs to provide a service are necessary, prudent, allowable according to
22 applicable regulation, and properly allocated to customers?

23 A. Yes. I have extensive experience in evaluating company cost proposals as an
24 Auditor and Supervisory Auditor with the Department of Defense, Defense
25 Contract Audit Agency. I have performed and supervised the performance of

1 audits to determine if the costs allocated to a service are necessary, prudent,
2 allowable according to applicable regulation, and properly allocated to customers
3 for each service. These audits are performed based on the principles contained in
4 the Cost Accounting Standards, the cost principles contained in the Federal
5 Acquisition Regulations, and the cost principles of the Office of Management and
6 Budget.

7 Q. Would you outline your educational background?

8 A. In 1981, I graduated *cum laude* with a B.A. degree in business administration,
9 major emphasis in professional accounting, from Eastern Washington University,
10 Cheney, Washington. In May 1985, I successfully completed the Certified Public
11 Accountant examination and received certification in November 1985.

12 Q. Please describe your professional background.

13 A. From 1982 to 1983, I worked as a staff auditor with Lincoln Mutual Savings Bank.
14 From 1983 to 1984, I was a staff accountant, also with Lincoln Mutual Savings
15 Bank. From 1984 to 1989, I served as an auditor and a senior auditor with the
16 Department of Defense, Defense Contract Audit Agency. From 1989 to 1993, I
17 was a Supervisory Auditor, also with the Agency. In 1986 and 1987, I also taught
18 a principles of cost accounting course at Highline Community College. In
19 February 1993, I joined Dahlen, Berg & Co. as a consultant.

20

21 **SECTION III. NATURAL GAS COSTS ARE OVERSTATED BY \$65.5 MILLION**

22 Q. What is FPL's projected total cost of fuel for the period April 1995 through
23 September 1995?

24 A. FPL has included in its Fuel Cost Recovery filing a projected total cost of fuel of
25 \$544,755,274 for the period April 1995 through September 1995, as shown in FPL.

- 1 Appendix II, Schedule E3, page 1, line 6.
- 2 Q. How many types of fuel has FPL included in its projected total fuel cost of
3 \$544,755,274 for the period April 1995 through September 1995?
- 4 A. As shown on Exhibit 22 (SMF-1), Schedule 1, FPL has included five types of
5 fuel in its total fuel cost of \$544.8 million for the period April 1995 through
6 September 1995: Heavy Oil (\$150.1 million), Light Oil (\$0.9 million), Coal
7 (\$51.2 million), Natural Gas (\$287.7 million) and Nuclear (\$54.9 million).
- 8 Q. Based on FPL's projected fuel mix, which type of fuel will have the greatest effect
9 on FPL's total projected cost of fuel?
- 10 A. Because natural gas represents 52.8% of FPL's total projected fuel cost from April
11 1995 through September 1995, the cost of natural gas will have the greatest effect
12 on FPL's total fuel costs during this period.
- 13 Q. Have you reviewed FPL's natural gas cost projections?
- 14 A. Yes. I have reviewed FPL's natural gas cost projections and have found several
15 facts in FPL's filing which demonstrate that FPL's natural gas cost projection is
16 overstated by at least \$65.5 million.
- 17 Q. What facts in FPL's filing support this conclusion?
- 18 A. First, FPL's filing of its actual October 1994 and November 1994 fuel costs shows
19 that FPL overestimated its natural gas costs by more than 31%, when the actual
20 average cost of \$1.7392 per Mcf is compared to the estimated average cost of
21 \$2.5349 per Mcf (FPL Appendix III, Schedule A6, line 45). Second, FPL
22 admitted that its original fuel cost estimate for October 1994 through March 1995
23 was overstated and reduced its estimate by 18.8% stating:
- 24 The originally projected average unit cost of natural gas generation for the
25 six month period [October 1994 through March 1995] was \$20.130/Mwh

1 and the updated estimated average unit cost is \$16.343 per mWh. This
2 18.8% decrease in the average unit cost of natural gas is primarily due to
3 higher than projected U.S. supply of natural gas resulting from increased
4 domestic deliverability, Canadian imports and storage capability. (FPL
5 Appendix III, Exhibit BTB-6, page 6, note 6)

6 Third, FPL admitted in the direct testimony of Rene Silva that "it is projected that
7 these factors will result in 1995 average natural gas prices remaining essentially the
8 same as 1994 average natural gas prices." (Page 8, lines 17 through 19)

9 Q. Did FPL recognize this lower average cost of natural gas when it projected its
10 natural gas cost for the period April 1995 through September 1995?

11 A. No. FPL did not recognize this lower actual average cost of natural gas when it
12 projected its natural gas costs for the period April 1995 through September 1995
13 but instead continued to use its higher original estimate for October 1994 through
14 March 1995 as the starting point for projecting its future gas costs.

15 Q. What is the average cost of natural gas included in FPL's fuel cost projection for
16 the period April 1995 through September 1995?

17 A. The average cost of natural gas included in FPL's fuel cost projection for the
18 period April 1995 through September 1995 is \$21.16 per mWh as shown in
19 Exhibit 22 (SMF-1), Schedule 2, or 29.5% greater than FPL's revised estimated
20 cost of natural gas of \$16.343 per mWh for the period October 1994 through
21 March 1995.

22 Q. Has the cost of natural gas increased since FPL revised its natural gas cost
23 estimates for the period October 1994 through March 1995?

24 A. No. The cost of natural gas has not increased since FPL revised its natural gas
25 cost estimates for the period October 1994 through March 1995. In fact, the cost

1 of natural gas has decreased since the end of November as shown in the graph in
2 Exhibit 22(SMF-1), Schedule 3, which presents the price of natural gas futures as
3 reported in the Wall Street Journal on December 2, 1994 and January 20, 1995 for
4 the period April 1995 through September 1995.

5 Q. What would be the effect of correcting FPL's natural gas cost projections to reflect
6 the lower cost of natural gas recognized by FPL?

7 A. If FPL's natural gas cost projections were corrected to reflect the lower cost of
8 natural gas, FPL's total projected cost of fuel for the period April 1995 through
9 September 1995 would decrease by \$65.5 million as shown on Exhibit 22 (SMF-
10 1), Schedule 4.

11

12 **Recommendation**

13 Q. What should the Commission do to protect ratepayers?

14 A. The Commission should require FPL to reduce its projected fuel costs for the
15 period April 1995 through September 1995 by at least \$65.5 million using FPL's
16 projected average natural gas cost for the period October 1994 through March
17 1995. Otherwise, FPL will collect revenues for a level of costs it may not incur
18 resulting in a shift of costs and revenues from present ratepayers to future
19 ratepayers.

20

21 **IV. EQUIPMENT MODIFICATIONS SHOULD BE CAPITALIZED AND**
22 **DEPRECIATED**

23 Q. How should the \$2.8 million in proposed equipment modifications to FPL's
24 generating plants be treated?

25 A. The \$2.8 million in proposed equipment modifications to FPL's generating plants

- 1 should be capitalized and depreciated over the remaining useful life of each plant.
- 2 Q. How should FPL's proposed equipment modifications be recovered from FPL's
- 3 ratepayers?
- 4 A. FPL's proposed equipment modifications should be recovered from FPL's
- 5 ratepayers in the same manner as other investments in plant and equipment are
- 6 recovered. FPL should include the cost of the modifications in its rate base and
- 7 the related depreciation cost in its O&M expenses. FPL can file a general rate case
- 8 to recover these costs from ratepayers whenever FPL believes it has an overall
- 9 revenue deficiency.
- 10 Q. What treatment has FPL requested for its proposed \$2.8 million of equipment
- 11 modifications?
- 12 A. On page 19 through 21 of Rene Silva's direct testimony, FPL requested that the
- 13 Commission allow it to expense the entire \$2.8 million of proposed equipment
- 14 modifications and include the entire cost in FPL's fuel cost recovery factor for the
- 15 period of April through September 1995.
- 16 Q. Should the Commission approve FPL's proposal to recover this type of cost
- 17 through the fuel cost recovery factor in this case?
- 18 A. No. The Commission should not approve FPL's proposal to recover this type of
- 19 cost through the fuel cost recovery factor in this case because FPL's proposal
- 20 requires current ratepayers to pay more than those costs which are required for
- 21 providing them service.
- 22 Q. How does FPL's proposal result in a mismatch of revenues and expenses?
- 23 A. FPL's proposal to expense all of the equipment modification costs in a six month
- 24 period results in a mismatch of revenues and expenses because FPL's equipment
- 25 modifications will be used for providing utility services over the remaining life of

1 each plant, not just for providing service during the period of April through
2 September 1995.

3 Q. Does FPL's proposal result in current ratepayers paying more costs than those
4 which are required for providing them service?

5 A. Yes. FPL's proposal results in current ratepayers paying more costs than those
6 which are required for providing them service because the cost of the equipment
7 modifications are used and useful for providing service in current and future
8 periods, not just the six month period proposed by FPL. Approving FPL's
9 proposal will result in current ratepayers subsidizing the cost of equipment which
10 will be used in providing service to future ratepayers

11

12 **Recommendation**

13 Q. What do you recommend regarding FPL's proposal?

14 A. The Commission should require FPL to capitalize and depreciate its investment in
15 plant and equipment. To do otherwise requires current ratepayers to pay for more
16 costs than those which are used for providing current service.

17 Q. How should the recovery of these costs be determined if the Commission chooses
18 to allow FPL to recover these costs through the fuel cost recovery factor?

19 A. The Commission should require FPL to capitalize and depreciate the equipment
20 modifications over the remaining useful life of each plant and include in the fuel
21 cost recovery factor only those costs necessary in providing electric service during
22 the period in which the fuel cost recovery factor is in effect.

23

24 **V. CAPACITY COST ALLOCATION SHOULD BE REVIEWED**

25 Q. What allocation factor does FPL use to allocate its purchased power capacity costs

1 to customer classes under its proposed capacity cost recovery (CCR) factor for the
2 period April through September 1995?

3 A. FPL uses a 12 CP allocation factor to allocate its purchased power capacity costs to
4 customers under its proposed CCR factor for the period April through September
5 1995.

6 Q. Does this allocation factor reflect how these costs are incurred?

7 A. No. This allocation factor may not reflect how FPL's purchased power capacity
8 costs are incurred because this factor may not recognize the difference in capacity
9 cost causation between firm and interruptible customers and the voltage level at
10 which customers are served.

11 Q. What is the effect of FPL not recognizing these differences?

12 A. The effect of FPL not recognizing these differences in the development of its 12
13 CP allocation factor would result in FPL's interruptible customers who receive
14 electric service at transmission voltages being assigned more capacity costs than
15 they cause to be incurred.

16

17 **Recommendation**

18 Q. What do you recommend?

19 A. Because of the short procedural schedule in this proceeding, I have not had time to
20 conduct discovery or to perform the analyses necessary to make a specific
21 recommendation. I do, however, recommend that the Commission require FPL to
22 justify that its proposed capacity cost allocation factor is based on cost causation
23 and recognizes the differences between firm customers and interruptible customers
24 who receive electric service at transmission voltage levels.

25 Q. Are there any other issues that the Commission should consider before changing

- 1 FPL's rates in this proceeding ? 356
- 2 A. Yes. Before the Commission changes FPL's rates in this proceeding, the
- 3 Commission should address whether FPL is earning an excessive return on
- 4 common equity resulting in unjust and unreasonable rates. However, because of
- 5 the short procedural schedule in this proceeding, Florida Steel has not had time to
- 6 perform the analyses necessary to make specific recommendations on this issue.
- 7 Q. Does this conclude your direct testimony?
- 8 A. Yes. It does.

1 Q (By Mr. Kaufmann) Mr. Fietek, given that
2 change, would you please summarize your testimony and
3 position in this case?

4 A Yes. My testimony presents for the
5 Commission's consideration the view that Florida Power
6 and Light's estimated natural gas costs for the period
7 of April 1995 through September 1995 are overstated.

8 Florida Power and Light has included in its
9 fuel cost recovery filing a projected total cost of fuel
10 of about \$544 million. Of that \$544 million, natural
11 gas represents \$287 or \$288 million, or about 52% to 53%
12 of the total. Also included are costs for heavy oil,
13 150 million; light oil, about 1 million; coal, 51
14 million.

15 I reviewed Florida Power and Light's direct
16 testimony and noted in Appendix 3, Schedule A-6, that
17 FP&L for the period October '94 and November '94 had
18 overestimated its natural gas costs. Then I looked at
19 the Appendix 3, Page 6, Note 6, in which FP&L noted that
20 for the period October 1994 through March 1995 that the
21 originally projected average unit cost for natural gas
22 generation was 20.13 megawatt-hours per megawatt-hour,
23 and that the updated estimated unit average would be
24 16.343 per megawatt-hour. This is an 18.8% decrease.

25 Then I noted that on Page 8 of the direct

1 testimony of Mr. Silva that he noted that it is
2 projected that these factors, referring to the factors I
3 just discussed, will result in 1995 average natural gas
4 prices will remain essentially the same as 1994 average
5 natural gas prices.

6 From that point, I looked at the estimated
7 natural gas prices per megawatt-hour in their filing for
8 April '95 through September '95 and noted that they were
9 \$21.16 per megawatt-hour. Referring back to the
10 statement that was made in FP&L Appendix 3, Page 6,
11 where he noted that it would be actual cost was \$16 per
12 megawatt-hour for the period in 1994 and then the
13 statement that it was projected that natural gas prices
14 '95 would remain the same, essentially the same, as 1994
15 average prices, which was \$16, I computed a difference
16 of about \$4.50 per megawatt-hour and applied that to
17 Florida Power and Light's estimate and came up with a
18 difference of 65.5 million.

19 Now, I have made just one change to my direct
20 testimony based upon the rebuttal testimony of
21 Mr. Silva, in which, since Florida Power and Light is
22 increasing its generation of natural gas through the use
23 of natural gas, they're going from about 17% or 18% for
24 generation up to about 33% or up to about 50% of the
25 cost in the future as opposed to about 25% or 30% of

1 their total costs in the past, but the increase in this
2 generation using natural gas results in less efficient
3 units, more Btu per megawatt-hour. And requiring more
4 Btu per megawatt-hour requires the adjustment that
5 Mr. Silva pointed out in his rebuttal testimony which,
6 if he made the adjustment as I calculated, it would be
7 43 million as opposed to 65 million.

8 My testimony also goes on to make
9 recommendations regarding the \$2.8 million in plant
10 modifications, equipment modifications. Essentially,
11 FP&L has proposed to expense \$2.8 million worth of
12 equipment modifications which I believe should be
13 capitalized and depreciated, included in rate base.

14 Basically, expensing those \$2.8 million in
15 expenses or allowing them to go through the fuel cost
16 recovery clause essentially requires the ratepayers
17 during the period of April through September 1995 to pay
18 the entire cost of those modifications. However, those
19 modifications will be beneficial to ratepayers over a
20 substantially longer period of time; and that, as is
21 traditionally done, the expense is matched up with the
22 benefit or the costs and expenses matched up; and that
23 ratepayers who are benefiting from these costs in the
24 future should pay for those costs and today's ratepayers
25 shouldn't pay any more for the cost of being provided

1 service than that which is justified.

2 And expensing the entire 2.8 million today or
3 running it through the fuel adjustment clause requires
4 today's ratepayers to pay for costs which are going to
5 benefit the used and useful for ratepayers in the
6 future. So I recommend that that 2.8 million be
7 capitalized and treated as rate base.

8 That concludes my summary.

9 MR. KAUFMANN: I would proffer Mr. Fietek for
10 cross.

11 COMMISSIONER DEASON: Mr. Kaufmann, do you
12 wish to have the prefiled testimony inserted into the
13 record?

14 MR. KAUFMANN: Yes, I do.

15 COMMISSIONER DEASON: Without objection, the
16 prefiled testimony will be inserted into the record.

17 (REPORTER'S NOTE: For convenience of the
18 record, Mr. Fietek's prefiled direct testimony has been
19 inserted at Page 346.)

20 MR. CHILDS: No questions.

21 COMMISSIONER DEASON: Mr. Howe?

22 MR. HOWE: No questions.

23 COMMISSIONER DEASON: Mr. McWhirter?

24 MR. McWHIRTER: No questions.

25 COMMISSIONER DEASON: Ms. Brown?

1 MS. BROWN: No questions.

2 COMMISSIONER DEASON: Commissioners? I assume
3 then there will be no redirect. Do you wish to move
4 exhibits into the record?

5 MR. KAUFMANN: Yes, I move for the admission
6 of Exhibit 44.

7 COMMISSIONER DEASON: Without objection, 44
8 will be admitted. And I believe there was a prefiled
9 exhibit, as well?

10 MR. KAUFMANN: That would be 22, I think is
11 the testimony and schedules.

12 COMMISSIONER DEASON: Okay. Exhibit 22
13 without objection also shall be admitted.

14 Thank you, Mr. Fietek.

15 WITNESS FIETEK: Thank you.

16 (Exhibit Nos. 22 and 44 received in evidence.)

17 (Witness Fietek excused.)

18 - - - - -

19 COMMISSIONER DEASON: I believe the next
20 scheduled witness is Mr. Mestas?

21 MS. BROWN: We have two rebuttal witnesses for
22 Issues 10A, 10B and 10C.

23 COMMISSIONER DEASON: Are we going to go ahead
24 and do rebuttal for Power and Light before we move into
25 TECO?

1 MS. BROWN: I think that makes sense.

2 COMMISSIONER DEASON: That's fine with me.

3 MR. CHILDS: I call Mr. Birkett.

4 BARRY T. BIRKETT

5 was called as a rebuttal witness on behalf of Florida
6 Power and Light Company and, having been duly sworn,
7 testified as follows:

8 DIRECT EXAMINATION

9 BY MR. CHILDS:

10 Q You have been previously sworn and identified
11 yourself, Mr. Birkett. At this point I ask you, do you
12 have before you a document entitled, "Rebuttal Testimcny
13 of Barry T. Birkett, Docket No. 950001-EI, February 3,
14 1995"?

15 A Yes, I do.

16 Q Was that prepared by you as your rebuttal
17 testimony for this proceeding?

18 A Yes, it was.

19 Q Is the document you are sponsoring as part of
20 that testimony prepared by you or under your direction,
21 supervision or control?

22 A Yes, it was.

23 MR. CHILDS: Commissioner, I believe that the
24 document Mr. Birkett is sponsoring at this time has been
25 identified as Exhibit No. 18. I would ask that the

1 prepared testimony of Mr. Birkett be inserted into the
2 record, assuming there are no changes or corrections?

3 WITNESS BIRKETT: There are none.

4 COMMISSIONER DEASON: Without objection,
5 prefiled testimony will be inserted into the record.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**FLORIDA POWER & LIGHT COMPANY****REBUTTAL TESTIMONY OF BARRY T. BIRKETT****DOCKET NO. 950001-EI****FEBRUARY 3, 1995**

1 **Q. State your name and business address.**

2 **A.** My name is Barry T. Birkett and my business address is 9250 West
3 Flagler Street, Miami, Florida 33174.

4

5 **Q. By whom are you employed and in what capacity?**

6 **A.** I am employed by Florida Power & Light Company (FPL) as the
7 Manager of Rates and Tariff Administration

8

9 **Q. Have you previously testified in this docket?**

10 **A.** Yes, I have.

11

12 **Q. What is the purpose of your rebuttal testimony?**

13 **A.** My rebuttal testimony will rebut certain portions of the direct testimony
14 of Steven M. Fietek who was engaged by Florida Steel Corporation
15 (Florida Steel).

16

1 Specifically, my testimony will demonstrate that:

2 1. Florida Steel witness Fietek's conclusion that FPL's projected
3 fuel charge should be reduced does not appropriately consider
4 the Fuel Cost Recovery process and procedures.

5
6 2. Florida Steel witness Fietek's position that the \$2.8 million
7 expenditure for equipment modification should be recovered
8 through base rates, capitalized and depreciated over the
9 remaining useful life of each plant fails to consider Commission
10 Order No. 14546, fuel savings realized by customers, and that
11 recovering the \$2.8 million over the six month fuel cost
12 recovery period is the most economic alternative.

13
14 3. Florida Steel witness Fietek's position that FPL's capacity cost
15 allocation methodology does not properly reflect how the
16 purchased power capacity costs should be allocated among
17 the rate classes is an inappropriate issue since this matter has
18 already been decided by the Commission. Additionally, Florida
19 Steel was a party in that proceeding and agreed that the
20 methodology was appropriate.

21

22 **Fuel Cost Recovery Process**

23

24 Q. Do witness Fietek's conclusions regarding the natural gas
25 forecast and his proposed reduced fuel charge appropriately

1 **consider the process and procedures utilized in the Fuel Cost**
2 **Recovery Clause?**

3 A. No. Witness Fietek's proposal fails to consider appropriate elements
4 necessary in the development of a projected fuel factor. Moreover, he
5 appears to ignore the many other elements that support a fuel charge,
6 e.g. other fuels' prices, sales and load forecasts, maintenance
7 schedules, etc. The Fuel Cost Recovery process and procedures
8 contain adequate safeguards and opportunities to ensure customers
9 and the companies are protected. When the Fuel Clause was
10 established, the Commission recognized that actual results would differ
11 from projections, especially since fuel prices are volatile. As a result,
12 safeguards such as the filing of monthly A-Schedules, the 10% mid-
13 course correction guidelines and the true-up mechanism, where
14 variances are routinely handled, were put in place. The Commission
15 also recognized that any time an estimate and true-up procedure is
16 utilized, some timing differences occur.

17
18 FPL routinely reviews its inputs that were used to develop the
19 projected fuel charge to determine if there are any changes that
20 combined would result in a significant variance in fuel costs for the
21 period. If a change is warranted at any time, FPL notifies the
22 Commission.

1 **Equipment Modifications to Generating Facilities**

2

3 **Q. Has Florida Steel witness Fietek considered Commission Order**
4 **No. 14546 in arriving at his recommendation regarding FPL's**
5 **request to recover the cost of certain equipment modifications**
6 **through the fuel clause?**

7 **A.** Florida Steel witness Fietek's testimony does not reflect any such
8 consideration. I addressed how Order No. 14546 applies to FPL's
9 request for recovery of the equipment modification costs in my prefiled
10 testimony in this docket.

11

12 **Q. Has Florida Steel witness Fietek addressed the reason why FPL**
13 **is implementing certain equipment modifications to some of its**
14 **generating facilities?**

15 **A.** No. Mr. Fietek's recommendation fails to reflect the fact that this
16 project was undertaken to enable FPL to use a less expensive grade
17 of residual fuel oil at some of its generating facilities. The projected
18 fuel savings that will be realized by FPL's customers, including Florida
19 Steel, is approximately \$81.3 million over the next five years.
20 Additionally, as of December 1994, \$4.9 million in fuel savings has
21 already been realized by FPL's customers, since many of these
22 equipment modifications have been implemented and placed in
23 service.

24

25 **Q. Has FPL performed an economic evaluation of alternative periods for**

1 recovery?

2 A. Yes. An analysis was performed and determined that recovery of the
3 \$2.8 million in equipment modifications over the six month period as
4 compared to recovery over the years 1995 through 1999 saved FPL's
5 customers, including Florida Steel, \$157,032 on a net present value
6 basis, or \$977,526 using nominal dollars, in carrying charges. This
7 analysis is provided as Rebuttal Document No. 1 (BTB-9) of my
8 testimony.

9

10 Capacity Cost Allocation Methodology for Off-System Capacity Purchased

11 Power Cost

12

13 Q. Is the allocation methodology used by FPL appropriate.

14 A. Yes. The methodology is appropriate and was approved by the
15 Commission.

16

17 Q. In what proceeding was FPL's capacity cost allocation methodology
18 approved?

19 A. FPL's capacity cost allocation methodology was approved in Order No.
20 24840 in Docket No. 910580-EQ (docket specific to FPL) and Order
21 No. 25773 in Docket No. 910794-EQ (generic docket).

22

23 Q. Was Florida Steel a party to these proceedings?

24 A. Yes. Florida Steel, as a named member of the Florida Industrial
25 Power User's Group (FIPUG), was a party to these proceedings.

1 FIPUG petitioned the Commission to change the way in which FPL
2 classified, allocated and priced off-system capacity purchased power
3 costs. Furthermore, FIPUG agreed with FPL's allocation methodology
4 as demonstrated in their written workshop comments filed on
5 November 20, 1991 in Docket No. 910794-EQ which state that:

6
7 **'FIPUG concurs that the cost of service study from the last rate case**
8 **should be the basis for driving the demand allocation factors. The**
9 **factors to be used in the proposed recovery mechanism should be**
10 **derived from current load research data. Further, that load research**
11 **data should be updated annually. For purposes of deriving the**
12 **appropriate demand allocation factors under the recovery mechanism,**
13 **all rate classes should be treated in the same manner as they were in**
14 **each utility's most recent base rate case.'**

15

16 **Q. Does the calculation of the Capacity Payment Clause factors**
17 **recognize the differences in capacity cost causation between firm**
18 **and interruptible service customers?**

19 **A.** Yes. First, I assume that Mr. Fietek's reference to "interruptible"
20 customers is intended to refer to customers taking service under FPL's
21 Commercial/Industrial Load Control Program (CILC). The Capacity
22 Payment Recovery Clause Factor for Transmission level CILC
23 customers is based solely on the characteristics of those transmission
24 customers, and therefore, is appropriate in relationship to both non-
25 transmission and non-CILC customers. Additionally, consistent with

1 Order No. 25773 in Docket No. 910794-EQ, the allocation for each
2 rate class is developed using FPL's last approved cost of service
3 methodology for fossil production plant and is updated annually using
4 current load factor information. This methodology is not, as Mr. Fietek
5 states, 12 CP; it is actually 12 CP and 1/13. While I do not believe it
6 is necessary to discuss the difference in this context, I do want to
7 prevent any confusion.

8
9 The difference in costs between firm and CILC is reflected in base
10 rates where CILC customers pay a lower rate reflecting the benefit
11 which is realized due to their interruptibility. No additional benefit
12 should be reflected in the CPRC.

13
14 As the Commission found in for Energy Conservation Cost Recovery
15 (ECCR) costs in Docket No. 930759-EG, Order PSC-93-1845-FOF-
16 EG, issued on December 29, 1993, if CILC customers were excused
17 from paying their share of CPRC costs they would be receiving
18 benefits in excess of those which they provide the system through
19 their willingness to be interrupted. Any additional incentive provided
20 through the CPRC would result in them being over compensated for
21 their interruptibility. In other words, FPL's other customers would be
22 paying more for that interruptibility than they would receive in benefits.

23
24 **Q. Is Florida Steel witness Fietek's Issue regarding FPL's capacity**
25 **cost allocation methodology appropriate?**

1 **A.** No. This is an inappropriate issue since this matter has already been
2 decided by the Commission in a proceeding to which Florida Steel was
3 an active party.

4

5 **Q.** Does this conclude your testimony?

6 **A.** Yes.

1 Q (By Mr. Childs) And, Mr. Birkett, would you
2 summarize your testimony?

3 A My rebuttal testimony addresses portions of
4 the testimony filed by Steven Fietek on behalf of
5 Florida Steel in which Mr. Fietek concludes that FPL's
6 projected fuel charge should be reduced and FPL's
7 proposal to recover \$2.8 million in plant modifications
8 through the fuel clause should not be approved.

9 Florida Steel's proposal to reduce FPL's
10 proposed fuel charge fails to consider the many elements
11 in the development of the fuel factor and
12 inappropriately focuses on the natural gas price
13 forecast to the exclusion of all the other elements.
14 Their proposal also fails to consider fuel cost recovery
15 processes and procedures which contain adequate
16 safeguards to ensure that both customers and the
17 utilities are protected.

18 When the fuel clause was established, the
19 Commission recognized that actual results would differ
20 from projections, especially since fuel prices are
21 volatile. As a result, the Commission put in place
22 safeguards such as the filings of monthly A Schedules,
23 the 10% midcourse correction guidelines, and true-up
24 mechanism. FPL routinely reviews the inputs used to
25 develop the projected fuel charge. If a change is

1 warranted at any time, FPL notifies the Commission.

2 Florida Steel's proposal regarding the plant
3 modifications apparently fails to consider the
4 Commission's Order 14546, the fuel savings realized by
5 FPL's customers, including Florida Steel, as a result of
6 the modifications, and that the recovery of the \$2.8
7 million in the projected period is the most economic
8 alternative for FPL's customers.

9 That concludes my summary.

10 MR. CHILDS: We tender Mr. Birkett for cross
11 examination.

12 CROSS EXAMINATION

13 BY MR. KAUFMANN:

14 Q Mr. Birkett, would it be unreasonable for you
15 to change your recommendation to the Commission before
16 the fuel factor is set if data becomes available to you
17 prior to the factor being set which indicates that your
18 fuel cost estimates are incorrect and that better data
19 is now available?

20 A No, that would not be unreasonable. In fact,
21 FPL has done so on several occasions in the past years
22 when it has become clear that the fuel cost factor,
23 based on current information, should be changed; we have
24 brought that information to their attention and in many
25 cases modified the factor before we submit it to them

1 for final approval.

2 Q You're talking about the stage of the process
3 where we are now, not midcourse correction?

4 A That's correct.

5 Q And how far off were you in those cases where
6 you did make that recommendation?

7 A I don't remember the specifics of those cases,
8 but I believe in each one it became -- it was clear to
9 us that if we did not make a change that we would exceed
10 the 10% midcourse correction guideline during the
11 period, and thus it made sense to change the factor
12 before even putting it into effect.

13 Q So if you have information which gives you
14 some strong indication that you will require a midcourse
15 correction if you don't change it now, you would
16 recommend changing it now?

17 A I will -- I say yes, but maybe rephrase to it
18 the standpoint that if we believed today that we would
19 be filing a midcourse correction -- that, you know, our
20 current indications are that we would, the variance
21 would exceed 10% of the fuel costs -- then we would be
22 proposing a change at this time. But since our
23 projections are not as such, then we have not proposed a
24 change.

25 Q So unless you anticipate being wrong by at

1 least 10% at some point during the period, even though
2 you know you are going to be wrong, you would recommend
3 the factor as it is?

4 A No. I don't think -- and maybe I misspoke.
5 The 10% I would not use as a firm guideline in this
6 case. I mean, that is the kind of magnitude we're
7 looking at.

8 But I would agree, you know, that even though
9 we know that the actuals will not match our forecasts if
10 they are not of, you know, if the differences are not of
11 significant magnitude at this point in time, we would
12 not propose a change. Because there are many things
13 that could happen over the course of the period; and,
14 you know, quite often just as things, you now, may look
15 now that to some -- some things that will lower fuel
16 costs, there will be some things that happen which will
17 result in higher fuel costs or lower revenues to the
18 extent that they would offset what's there currently.

19 Q You don't have any current information as to
20 those offsetting items, do you?

21 A No, I don't have an estimate at this time of
22 what is going to happen. I do know there has been an
23 analysis and we have relooked at our inputs and do
24 believe that what we have filed is appropriate.

25 MR. KAUFMANN: Thank you. No further

1 questions.

2 COMMISSIONER DEASON: Mr. Howe?

3 MR. HOWE: No questions.

4 COMMISSIONER DEASON: Mr. McWhirter?

5 MR. McWHIRTER: No questions of Mr. Birkett.

6 COMMISSIONER DEASON: Staff?

7 MS. BROWN: We have one question, Mr. Birkett.

8 CROSS EXAMINATION

9 BY MS. BROWN:

10 Q If the costs of the modifications were
11 capitalized for any period longer than one month, how
12 would that affect the overall cost of the modifications
13 to the ratepayers?

14 A That would increase the overall costs in
15 modifications because there would be a carrying cost
16 associated with that capitalization which would raise
17 the costs over the pure expense level which FPL is
18 proposing to include in rates at this time.

19 MS. BROWN: No further questions.

20 COMMISSIONER DEASON: Commissioners?

21 Mr. Birkett, were you in the room when I asked
22 Mr. Silva some questions concerning the accounting of
23 the modification costs?

24 WITNESS BIRKETT: Yes, I was, Commissioner.

25 COMMISSIONER DEASON: What is your

1 understanding of the accounting treatment which would be
2 afforded these costs if the Commission were to decide to
3 have those costs included, totally included, in this six
4 months projection period?

5 WITNESS BIRKETT: Commissioner, what would
6 happen -- let me back up. At the present time, those
7 costs are included in capital accounts. Now, what we
8 would do is reflect, you know, make adjustments to
9 reflect that those costs are being removed and go ahead
10 and expense those accounts in this period so that there
11 would be a pure expense, nothing would be treated as
12 capital, there would be no depreciation or any other
13 capital type costs associated with them.

14 COMMISSIONER DEASON: Redirect?

15 MR. CHILDS: I have no redirect. I would like
16 to move into evidence Exhibit No. 18.

17 COMMISSIONER DEASON: Without objection,
18 Exhibit 18 shall be admitted.

19 MR. CHILDS: I would like to ask that
20 Mr. Birkett be excused, he has to catch an airplane
21 shortly to go testify elsewhere.

22 COMMISSIONER DEASON: Mr. Birkett, you are
23 excused.

24 MR. CHILDS: Thank you.

25 (Exhibit No. 18 received in evidence.)

1 (Witness Birkett excused.)

2 - - - - -

3 MR. CHILDS: Our next witness is Mr. Silva.

4 RENE SILVA

5 was called as a rebuttal witness on behalf of Florida
6 Power and Light Company and, having been duly sworn,
7 testified as follows:

8 DIRECT EXAMINATION

9 BY MR. CHILDS:

10 Q Mr. Silva, you have been previously sworn and
11 identified. At this point, I ask do you have before you
12 a document entitled, "Rebuttal Testimony of Rene Silva,
13 Docket No. 950001-EI, February 3, 1995"?

14 A Yes.

15 Q Is that your rebuttal testimony for this
16 proceeding?

17 A Yes.

18 Q And were the two documents that you are
19 sponsoring prepared by you or under your direction,
20 supervision and control?

21 A Yes.

22 Q Do you have any changes or corrections to make
23 either to your testimony or to the documents that you
24 are now sponsoring?

25 A No, sir.

1 Q Do you adopt this as your testimony?

2 A Yes.

3 MR. CHILDS: Mr. Commissioner, we ask that the
4 prepared rebuttal testimony of Mr. Silva be inserted
5 into the record as though read.

6 COMMISSIONER DEASON: Without objection, it
7 will be so inserted.

8 MR. CHILDS: And the documents he is
9 sponsoring have been marked for identification as 19 and
10 20.

11 COMMISSIONER DEASON: Very well.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

FLORIDA POWER & LIGHT COMPANY

REBUTTAL TESTIMONY OF RENE SILVA

DOCKET NO. 950001-EI

February 3, 1995

1 **Q Please state your name and address.**

2 A. My name is Rene Silva. My business address is 9250 W. Flagler
3 Street, Miami, Florida 33174.

4

5 **Q. By whom are you employed and what is your position?**

6 A. I am employed by Florida Power & Light Company (FPL) as Manager
7 of Forecasting and Regulatory Response in the Power Generation
8 Business Unit.

9

10 **Q. Have you previously testified in this docket?**

11 A. Yes.

12

13 **Q. What is the purpose of your testimony?**

14 A. My rebuttal testimony rebuts the direct testimony of Witness Steven M.
15 Fietek, filed on behalf of Florida Steel Corporation. Specifically, my
16 testimony will address the concerns that Mr. Fietek expressed
17 regarding FPL's projected cost of natural gas for the April through

1 September 1995 period. My testimony shows that Witness Fietek's
2 conclusion that FPL's projected fuel cost is excessive is invalid, that
3 his methodology is flawed, and that he fails to recognize the difference
4 between the price of gas supply (\$/MMBTU) that FPL purchases, and
5 the cost of gas generation (\$/MWH) that FPL incurs in generating
6 electricity using gas as a fuel.

7

8 **Q. On page 5, lines 14-16 of his testimony, Witness Fietek states that**
9 **FPL's natural gas cost projection for the April through September 1995**
10 **period "is overstated by at least \$65.5 million." Do you agree?**

11 **A. No. FPL's projected cost of natural gas generation for the April through**
12 **September 1995 Fuel Cost Recovery period (projected period) is**
13 **based on FPL's November 1994 gas price forecast for the projected**
14 **period, which reflects then current gas market conditions and**
15 **perceptions, as well as the cost of gas transportation to FPL, gas**
16 **supply contract pricing terms, the quantity of gas expected to be used**
17 **in FPL's system, the efficiency in heat rate (BTU/KWH) with which gas**
18 **is used in each of FPL's generating units, FPL's projected load**
19 **requirements and the cost and availability of other sources of energy**
20 **during the projected period. FPL's projected cost is correct and**
21 **appropriate for use in the Fuel Cost Recovery Clause for the projected**
22 **period.**

1 Witness Fietek has calculated his \$65.5 million figure by
2 inappropriately applying FPL's updated average unit cost of gas
3 generation (in \$/MWH) for the October 1994 through March 1995
4 period (current period) to FPL's projected gas generation (in MWH)
5 during the projected period and subtracting that product, without
6 explaining why its use is justified, from FPL's projected cost of gas
7 generation for the projected period. Witness Fietek inexplicably refers
8 to this difference as FPL's excessive cost.

9

10 **Q. Why is Witness Fietek's methodology inappropriate?**

11 **A.**Because it (1) arbitrarily, and without any justification, assumes that
12 the current period gas generation cost estimate (in \$/MWH) should be
13 used as the projected fuel cost estimate (in \$/MWH) for a future
14 period, and in so doing, (2) fails to recognize a number of significant
15 factual (and one projected) differences between the projected period
16 and the current period that affect FPL's cost of gas generation.

17

18 Witness Fietek's methodology erroneously equates FPL's cost of
19 electric generation using gas (in \$/MWH), which I refer to as gas
20 generation, to the price of gas in the market (in \$/MMBTU), thus
21 ignoring other determinants of the cost of gas generation. In addition,
22 he assumes erroneously that the price of gas in the market will not
23 change between the current period ending in March 1995, and the

1 projected period. Therefore, for these reasons, his results are invalid.

2

3 Q. What are the key differences between the current period, ending
4 March 1995 and the projected period that affect the cost of gas
5 generation?

6 A. There are four significant differences between the projected period and
7 the current period that are correctly reflected in FPL's projected cost
8 of gas generation for the projected period, and which witness Fietek
9 fails to consider.

10

11 First, the average heat rate of gas generation during the projected
12 period is approximately 9.87% higher than for the current period. This
13 means that, on average, it will take 9.87% more gas to generate a
14 megawatt-hour (MWH) in the projected period. Had Witness Fietek
15 reflected this heat rate difference (that we know will occur) in his
16 calculation, his \$65.5 million would have been reduced to \$43.6
17 million.

18

19 Second, FPL's average firm gas transportation rate will increase by
20 approximately 12.9% from the current period, ending March 1995, to
21 the projected period because FPL will receive, beginning in March
22 1995, 200,000 MMBTU per day of additional gas transportation from
23 the higher-tariff FTS-2 firm service associated with Florida Gas

1 Transmission's Phase III pipeline capacity expansion. Had Witness
2 Fietek also reflected this known increase in the gas transportation cost
3 in his calculation, his result would have been further reduced to \$35.5
4 million.

5
6 Third, during the projected period, FPL will receive approximately \$1.0
7 million in credits from its gas supplier, compared to about \$12.4 million
8 of credits for the current period ending March 1995. These credits
9 were obtained by FPL for its customers as part of the negotiated
10 agreement, concluded in May 1994, to replace prior gas supply
11 contracts with a new long-term contract. Had Witness Fietek's
12 calculation also reflected this known reduction in credits, his result
13 would have been further reduced to less than \$14 million.

14
15 Fourth, we project that, on average, FPL's gas supply price will be
16 \$.10/MMBTU higher during the projected period than for the current
17 period, ending March 1995. Witness Fietek assumes that the gas
18 market price will not change. Applying FPL's projected gas supply
19 price increase to Witness Fietek's calculations further reduces his
20 result to about \$3.3 million, or less than 1.2% of FPL's total projected
21 cost of gas.

22
23 It should be noted that the only determinant of the cost of gas

1 generation (\$/MWH) discussed in Witness Fietek's testimony is the
2 market price of natural gas (\$/MMBTU). My testimony shows that his
3 implied gas price position (no change from the current period), with
4 which we disagree, accounts for less than \$14 million.

5

6 **Q. Why is the average heat rate of gas generation higher in the projected**
7 **period?**

8 **A.** Because as the quantity of natural gas used in FPL's generation
9 system increases, more gas is allocated to generating units that utilize
10 gas less efficiently. During the projected period, gas generation is
11 projected to be approximately 13.6 million MWH; this is 5.4 million
12 MWH or 65.7% more than the 8.2 million MWH (Rebuttal Document
13 No.1, line 14, column H (RS-4)) for the current period, ending March
14 1995. FPL dispatches its most efficient units first, so the additional gas
15 generation is provided by less efficient units. As a result, the average
16 heat rate for gas generation in the projected period is 8,527
17 BTU/KWH; this is 766 BTU/KWH, or 9.87% higher than the 7,761
18 BTU/KWH (Rebuttal Document No.1, line 72, column H (RS-4)) for the
19 current period, ending March, 1995.

20

21 **Q. How would you calculate the impact of heat rate that witness Fietek's**
22 **calculation failed to reflect?**

23 **A.** As I have stated above, Witness Fietek's proposed methodology is

1 invalid. Therefore, I have performed different calculations in order to
2 quantify the magnitude of the error in Witness Fietek's calculation due
3 to each of the four differences described above.

4
5 Multiplying the \$/MMBTU average cost of gas in the current period
6 ending March 1995, shown in Document No.1, line 62, column H
7 (\$2.1057/MMBTU) by the total MMBTU used in the projected period
8 (115,917,400 MMBTU), and then subtracting that product
9 (\$244,087,269) from FPL's total projected cost of gas for the projected
10 period (\$287,711,489) results in \$43,624,220, instead of Witness
11 Fietek's \$65,533,519. The difference between these figures is the heat
12 rate effect.

13
14 **Q. Please explain why the gas transportation cost will be higher in the**
15 **projected period.**

16 **A. During the current period ending March 1995, FPL is transporting**
17 **approximately 51.2 million MMBTU of gas at \$0.54/MMBTU, the tariff**
18 **approved by the Federal Energy Regulatory Commission (FERC) for**
19 **FTS-1 (existing firm gas transportation service provided by Florida Gas**
20 **Transmission (FGT) to FPL and other Florida customers), including**
21 **compressor fuel charges. FPL is also transporting about 6.2 million**
22 **MMBTU of gas at \$0.86/MMBTU, the tariff approved by FERC for**
23 **FTS-2 (new firm gas transportation service scheduled to begin on**

1 March 1, 1995, upon completion of FGT's Phase III pipeline
2 expansion), including compressor fuel charges. FPL's weighted
3 average cost of firm transportation during the current period ending
4 March 1995 will be about \$0.576/MMBTU.

5
6 During the projected period, FPL will transport approximately 74.2
7 million MMBTU at \$0.54/MMBTU (FTS-1), and about 36.6 million
8 MMBTU at \$0.86/MMBTU (FTS-2). FPL's weighted average cost of
9 firm transportation during the projected period will be about
10 \$0.649/MMBTU, or \$0.074/MMBTU higher than in the current period.
11 As a result, FPL's gas cost during the projected period will reflect an
12 \$8,143,100 increase due to the known higher cost of transportation,
13 compared to what Witness Fietek erroneously calculated using
14 (implicitly) the current period unit cost of firm transportation
15 (\$0.576/MMBTU) to calculate the total cost for the projected period.

16
17 **Q. What is the impact of the increase in the transportation cost that**
18 **Witness Fietek's methodology failed to reflect?**

19 **A.** The \$8,143,100 increase due to the higher firm transportation cost was
20 not reflected in Witness Fietek's calculation. Subtracting this amount
21 from the \$43,624,220 shown above reduces the figure to \$35,481,120.

1 Q. What is the effect of the reduction in credits that Witness Fietek's
2 calculation failed to reflect?

3 A. Approximately \$21.5 million. During the current period, ending March,
4 1995, the \$12.4 million in credits are divided by the 63,680,761
5 MMBTU of gas FPL is purchasing. This credit amount reduces FPL's
6 unit cost of gas by \$0.1943/MMBTU, and thus contributes to the lower
7 (\$2.1057/MMBTU) cost of gas during the current period. For the
8 projected period, the \$1.0 million in credits, divided by the 115,917,400
9 MMBTU of gas FPL projects to purchase, will reduce FPL's cost of gas
10 by only \$0.0088/MMBTU. The difference, \$0.1855/MMBTU, multiplied
11 by the 115,917,400 MMBTU of gas FPL will purchase in the projected
12 period results in \$21,502,678. This is the amount that Witness
13 Fietek's calculation failed to reflect. This effect of known reduced
14 credits should be subtracted from the \$35,481,120 shown previously
15 to reduce the figure to \$13,978,442.

16
17 Q. Please explain how FPL's projected difference in the gas supply price
18 affects the cost of gas generation in the projected period.

19 A. The weighted average cost of gas supply (for that portion of the gas
20 delivered through firm transportation) during the projected period is
21 \$1.86/MMBTU, or \$0.10/MMBTU higher than for the current period
22 (Rebuttal Document No.2 (RS-5)). This price increase reflects our view
23 that greater gas market demand in August and September will push

1 gas supply prices to the higher levels that existed in the first quarter
2 of 1994. Multiplying the \$0.10/MMBTU projected price difference
3 between the projected period and the current period ending March
4 1995, by the quantity of gas delivered under firm transportation in the
5 projected period (110,790,000 MMBTU) results in \$10,637,271. This
6 is the effect of the difference in FPL's projected price of gas supply
7 between the two periods. Witness Fietek's methodology erroneously
8 implies that this effect is \$65.5 million.

9
10 If this \$10,637,271 is subtracted from the \$13,978,442 shown above,
11 only \$3,341,171 remains. This difference relates to changes in the cost
12 of interruptible gas transportation and the cost of gas supply delivered
13 through interruptible transportation.

14

15 **Q. How will FPL reflect changes in gas market conditions on its projected**
16 **cost of fuel?**

17 **A.** We will continue to monitor and evaluate gas market developments,
18 as well as changes in other fuels. Prior to the Prehearing Conference,
19 we will determine whether changes in fuel market conditions (for gas
20 and other energy sources) suggest that a change in the overall
21 projected cost of fuel for the projected period is appropriate and, if so,
22 we will propose a change at that time. Mr Birkett's Rebuttal Testimony
23 also discusses, the process and procedures used to address the

1 effects of changing fuel prices in the Fuel Cost Recovery Clause.³²⁰

2

3 Q. On page 6, lines 9-14 of his testimony, Witness Fietek states: "FPL did
4 not recognize the lower actual average cost of natural gas when it
5 projected its natural gas cost for the period April 1995 through
6 September 1995 but instead continued to use its higher original
7 estimate for October 1994 through March 1995 as the starting point for
8 projecting its future gas costs." Do you agree?

9 A. No. This is incorrect. The average gas supply price projected in FPL's
10 price projection prepared in May, 1994 for the October, 1994 through
11 March, 1995 period was \$2.29/MMBTU. In November, 1994, the
12 average projected gas supply price for the October, 1994 through
13 March, 1995 period was reduced to \$1.76/MMBTU, and a new gas
14 price projection was developed, recognizing the reduced cost of gas,
15 for the April through September 1995 period which resulted in an
16 average gas supply price of 1.86/MMBTU (Rebuttal Document No. 2
17 (RS-5)). This November price projection is the one used in FPL's Fuel
18 Cost Recovery filing of January 1995.

19

20 Q. On page 7, lines 14-17 of his testimony, Witness Fietek recommends
21 that the Commission reduce FPL's projected fuel cost by \$65.5 million.
22 Do you agree?

23 A. No. Witness Fietek's testimony uses a flawed calculation in an attempt

1 to support his conclusion that FPL used an excessively high price of
2 gas supply in its calculation of the projected fuel cost for the April
3 through September 1995 period. Moreover, in reaching his conclusion,
4 Witness Fietek fails to recognize the difference between FPL's price
5 of gas supply and its cost of electric generation using gas. As a result,
6 although his testimony is intended as a criticism of FPL's gas price
7 projection, it does not accomplish that objective because it criticizes
8 a gas price projection that does not exist.

9
10 The calculation that resulted in Witness Fietek's \$65.5 million figure is
11 invalid because, as demonstrated in my testimony, it fails to reflect a
12 number of significant known facts that affect the cost of gas
13 generation, and his arbitrary assumption that current period costs
14 should be used to estimate the cost for a future period has no
15 justification. In addition, it would not be appropriate to adjust the total
16 projected fuel cost for the projected period based solely on the
17 perceived variation in a single fuel, without considering the effect of
18 changes in prices of other fuels. Therefore his recommendation is
19 without merit and should be rejected.

20

21 **Q. Does this conclude your rebuttal testimony?**

22 **A. Yes, it does.**

1 Q (By Mr. Childs) Would you please summarize
2 your rebuttal testimony, Mr. Silva.

3 A Yes, sir.

4 Commissioners, my rebuttal testimony shows
5 that the methodology used by Florida Steel to support
6 its recommendation that FPL's proposed fuel cost
7 recovery factors should be reduced is not valid because,
8 one, it arbitrarily and without justification assumes
9 that the current period costs should be used as the
10 projected costs for the next period. And it fails, in
11 so doing, to consider a number of factors that affect
12 FPL's cost of gas generation during the April through
13 September period.

14 My testimony shows that there are four
15 significant factors that raise FPL's cost of gas
16 generation. Now, three of those are facts, they are not
17 in terms of what we think the market will do. The first
18 is the average heat rate. The heat rate will be 9.9%
19 higher and it will take 9.9% more gas to generate one
20 megawatt of electricity. If you will look at this
21 factor, this accounts for \$21.9 million in costs
22 compared to the \$65.5 million that Florida Steel's
23 testimony suggested we were overstating.

24 Second, FPL's average gas transportation rate,
25 which is a FERC tariff, for firm transportation will

1 increase by 12.8% during that next period. That is a
2 fact. And that will account for an increase of \$8.1
3 million when applied to Florida Steel's calculation.

4 Third, FPL will receive \$11.4 million less in
5 negotiated gas supply contract credits. These are
6 credits that we have received as an inducement or
7 incentive to enter into a contract and they will not
8 continue further into the period. That accounts for
9 another \$21.5 million in Florida Steel's calculation.

10 Together, those three account for \$51.5
11 million of the \$65.5 previously stated.

12 The fourth factor is that we have projected
13 that FPL's cost of gas supply, fuel price per se, on
14 average will be 10% -- excuse me, 10 cents per MMBtu
15 higher than during the current period. That essentially
16 accounts for the remainder of the presumed overstatement
17 of our fuel cost.

18 Florida Steel's methodology essentially
19 assumes that the unit cost of gas generation does not
20 change and it chooses to ignore these factors.

21 In addition, my rebuttal testimony states that
22 it would not appropriate to adjust the proposed fuel
23 cost recovery factor as recommended by Florida Steel
24 based solely on a perceived price variation in a single
25 fuel, natural gas, without considering the effect of

1 changes in other factors, such as availability and costs
2 of other sources of generation, purchased power, other
3 fuels, and sales projections.

4 For these reasons, we believe that Florida
5 Steel's recommendation to change FPL's proposed factor
6 is without merit.

7 That concludes my testimony.

8 MR. CHILDS: We tender Mr. Silva for cross
9 examination.

10 COMMISSIONER DEASON: Mr. Kaufmann?

11 MR. KAUFMANN: Thank you.

12 CROSS EXAMINATION

13 BY MR. KAUFMANN:

14 Q Mr. Silva, is it correct that your estimated
15 costs for October 1994 through March 1995 would include
16 the contract credits that you mentioned that you got
17 starting in May 1994?

18 A Yes.

19 Q Would it also be correct that your estimated
20 cost of gas would also include the transportation costs?

21 A Yes.

22 Q Now, these gas transportation costs are set by
23 tariff and have not changed since your most recent
24 estimated cost of gas, have they?

25 A That's correct.

1 Q Therefore, the only real reason for any --
2 reason for FPL's actual cost of gas per MMBtu to be
3 significantly lower than FPL's estimated cost of gas per
4 MMBtu is due to the cost of the natural gas supply?

5 A To the extent we agreed that they should be
6 lower, that would be the only factor.

7 Q Now, you reestimated your cost of gas for
8 January 1995 in your Rebuttal Document No. 1, Page 2; is
9 that correct?

10 A Document 1, Page 2, shows what we referred to
11 as the estimated actual costs for the October '94
12 through March 1995 period.

13 Q What is your reestimated cost of gas for
14 January 1995?

15 A It is, in cents per kilowatt-hour, it is
16 1.6163 cents per kilowatt-hour.

17 Q And how much per MMBtu?

18 A That would be at Line 62, which is \$2.1816 per
19 MMBtu.

20 Q Now, how does this compare to FPL's actual
21 cost of gas for January shown in the A3 schedule which
22 we discussed earlier? Do you still have that? That
23 would be Exhibit No. 40. (Pause)

24 A In the Schedule A3 for January '95, the actual
25 cost of gas is \$1.7999 per MMBtu.

1 Q In this reestimation of costs that are in
2 Rebuttal Document No. 1, Page 2, those you just did this
3 last January, did you not?

4 A Yes. Excuse me, the estimated actual was
5 based on projections done in November. It has two
6 months of actual, October and November.

7 Q But the actual is 1.7999?

8 A That's correct.

9 Q So even though you reestimated the cost of gas
10 in your rebuttal testimony for the month of January,
11 you're still 21% too high, aren't you?

12 A Yes.

13 Q Mr. Silva, you say on Page 5 of your rebuttal
14 testimony that during the current period ending
15 March '95 that FPL will receive 12.4 million in credits
16 from your natural gas supplier; is that right?

17 A Yes.

18 Q You further state on Page 5 that these credits
19 were negotiated by FP&L as of May 1994, correct?

20 A Yes.

21 Q Were these credits considered in your
22 reestimated cost of natural gas for the period of
23 December 1994 through March 1995, which is in this
24 Rebuttal Document No. 1, Page 2?

25 A The credits have been included in all the

1 estimates.

2 Q Mr. Silva, you say on Page 9 of your rebuttal
3 testimony that these credits that FP&L has obtained from
4 its gas supplier will reduce FP&L's cost of gas by 19.43
5 cents per MMBtu during the current period of March '95;
6 is that correct? Ending March '95?

7 A Yes.

8 MR. KAUFMANN: Indulge us, please,
9 Commissioners, we're getting out a document here.

10 (Pause)

11 I apologize, Commissioners, it will just be a
12 moment. (Witness furnished a document)

13 I apologize I don't have extra copies of that
14 response right now, I can provide them very shortly if
15 it is necessary.

16 Q (By Mr. Kaufmann) Mr. Silva, I would like you
17 to refer to FP&L's response to Florida Steel's
18 Interrogatory No. 15, which I've just handed you, where
19 FP&L was requested to explain the difference between
20 FP&L's actual cost of natural gas in November of 1994 of
21 \$1.80 per MMBtu and your estimated cost of natural gas
22 for December 1994 of \$2.39 per MMBtu?

23 A Yes.

24 Q As shown on your Rebuttal Document No. 1; is
25 that correct?

1 A Yes.

2 Q And what is that difference in price?

3 A The difference between projected December '94
4 and actual November '94 is 59 cents per MMBtu.

5 Q In response to the interrogatory that I have
6 just handed you, you stated that 51 cents per MMBtu is
7 due to contract credits; is that correct?

8 A Yes.

9 Q But on Page 9 of your rebuttal, you state that
10 the credits will reduce the cost of gas by 19.43 cents.
11 Is that correct?

12 A The number in Page 9 of my testimony talks
13 about the total amount of credits, which is 12.4
14 million, to be received during the entire period of
15 October through March; and it is divided, the entire
16 MMBtu that FPL is purchasing during that period.

17 The question that I am responding to in
18 response to your interrogatory compares November to
19 December; and the credits are not uniform from month to
20 month, so the two numbers really don't have any
21 correlation.

22 Q Mr. Silva, I just handed you a document which
23 is FP&L's response to Florida Steel's first set of
24 interrogatories, Interrogatory No. 3.

25 MR. KAUFMANN: And I'd ask that it be marked

1 for identification as Exhibit No. 45, I think is the
2 next one.

3 COMMISSIONER DEASON: We need to interrupt for
4 just a second. Mr. Silva, do you need some paper
5 towels?

6 WITNESS SILVA: I believe so. It flowed back.

7 COMMISSIONER DEASON: We'll take a ten-minute
8 recess at this time.

9 (Brief recess.)

10 - - - - -

11 COMMISSIONER DEASON: Call the hearing back to
12 order.

13 Mr. Kaufmann?

14 Q (By Mr. Kaufmann) Mr. Silva, do you have in
15 front of you now Exhibit 54, which I just handed you,
16 which is -- I'm sorry, 45 which is the FPL response to
17 Florida Steel's first set of interrogatories,
18 Interrogatory No. 3?

19 A Is that a question?

20 Q Yeah. Do you have that?

21 A Yes, I do.

22 Q Now, on Page 2 of that response, FPL provides
23 its cost per MMBtu to transport gas under the FTS 1
24 Schedule for April of 1995 through September 1995; is
25 that correct?

1 A Yes.

2 Q Now, in order to get the total transportation
3 cost, that would involve adding columns C -- I guess
4 that's supposed to be -- well, there is a column that
5 says "C", demand charge, dollars per MMBtu. And then
6 there's another Column C that says "commodity/rate
7 dollars per MMBtu."

8 In order to get the total transportation rate,
9 would it involve the addition of those two columns for
10 any particular month?

11 A In order to get the total transportation rate,
12 which is the actual cost, you'd have to add the demand
13 charge plus the commodity charge.

14 Q Right. So, for instance, for April of 1995
15 under this exhibit, it would be taking the .4331 and
16 adding to that the .0725; is that correct?

17 A April 1995?

18 Q Yes.

19 A Yes.

20 Q All right. So subject to check, would you
21 agree that that's .5056? Or you can do the math
22 yourself, if you like.

23 A Yes.

24 Q And going through September 1995 that that
25 would escalate to .5059?

1 A Yes.

2 Q Now, on Page 8 of your rebuttal testimony, you
3 state that you will be transporting 74.2 million MMBtu
4 at .54 per MMBtu under FTS 1; is that correct?

5 A Yes. The difference between those two numbers
6 is the compression fuel. That is not included in these
7 tables.

8 Q Now, if you could refer back to the response
9 to Interrogatory No. 3 again on Page 3?

10 A Yes.

11 Q That response provides the cost per MMBtu to
12 transport gas under FTS 2, and that would also include
13 April 1995 through September '95; is that correct?

14 A Yes.

15 Q All right. And if you did the same
16 calculation adding the demand and the commodity rates,
17 would you agree, subject to check, that beginning in
18 April '95, the number would be .8077 escalating to
19 .8080?

20 A Yes. And, of course, that sum is again
21 different from the one in my rebuttal testimony because
22 my rebuttal testimony includes the fuel for compression
23 which these tables do not because you did not ask for
24 it.

25 Q So the .86 that you mentioned in your

1 testimony includes compression?

2 A Yes.

3 Q All right. Mr. Silva, would you agree,
4 subject to check, that the average natural gas prices
5 during 1994 for FPL were approximately \$2?

6 A I can't agree subject to check. Let me take a
7 look at the information before me.

8 When you say "natural gas cost," specifically
9 what are you referring to?

10 Q If you are looking at Schedule A3, Line 44 for
11 the actuals, if you would take that for entire 1994, the
12 average would be approximately \$2?

13 A Well, if you want me to answer that question,
14 you're going to have to give me time to calculate the
15 average.

16 If I may say, this is not a straight average
17 calculation because it's a weighted average-type
18 calculation, so it's going to take me a few minutes to
19 do this.

20 MR. KAUFMANN: I'll withdraw the question.

21 I have no further questions.

22 COMMISSIONER DEASON: Mr. Howe?

23 MR. HOWE: No questions.

24 COMMISSIONER DEASON: Mr. McWhirter?

25 MR. McWHIRTER: No questions.

12 placed into service at this time?
13 A Yes. It was placed in effect on March 1st.
14 Q All right. Thank you.
15 MS. BROWN: That's all.
16 COMMISSIONER DEASON: Redirect?
17 MR. CHILDS: I have no redirect.
18 I would like to move into evidence Exhibits 19
19 and 20.
20 COMMISSIONER DEASON: Without objection,
21 Exhibits 19 and 20 are admitted.
22 (Exhibit Nos. 19 and 20 received in evidence.)
23 MR. CHILDS: And I'd like to ask that
24 Mr. Silva be excused, please.
25 COMMISSIONER DEASON: Mr. Silva may be

FLORIDA PUBLIC SERVICE COMMISSION

404

1 excused.
2 (Witness Silva excused.)
3 - - - - -
4 MR. KAUFMANN: I also ask that we --
5 COMMISSIONER DEASON: Exhibit 45 without
6 objection --
7 Mr. Kaufmann, the admittance of Exhibit 45,
8 and without objection, Exhibit 45 shall be admitted.
9 (Exhibit No. 45 received in evidence.)
10 COMMISSIONER DEASON: I believe now we can
11 proceed into TECO's case with Mr. Mestas.
12 MR. BEASLEY: Yes, sir. I'd like to call
13 Mr. Donald Mestas.
14 - - - - -
15 DONALD MESTAS
16 was called as a witness on behalf of Tampa Electric
17 Company and, having been duly sworn, testified as
18 follows:
19 DIRECT EXAMINATION
20 BY MR. BEASLEY:
21 Q Sir, would you please state your name, your
22 business address and your position with Tampa Electric?
23 A Yes. My name is Don Mestas. My business
24 address is 702 North Franklin Street, Tampa, Florida
25 33602.

FLORIDA PUBLIC SERVICE COMMISSION

1 Q Were you in the room this morning when
2 Commissioner Deason administered the oath?

3 A Yes, I was.

4 Q Mr. Mestas, did you prepare and submit in this
5 proceeding a six-page document entitled "Prepared Direct
6 Testimony of D. M. Mestas, Jr."?

7 A Yes.

8 Q If I were to ask you the questions contained
9 in that testimony, would your answers be the same?

10 A Yes.

11 MR. BEASLEY: I'd ask that Mr. Mestas'
12 testimony be inserted into the record as though read.

13 COMMISSIONER DEASON: Without objection, it
14 will be so inserted.

15 Q (By Mr. Beasley) And you did not sponsor an
16 exhibit, did you, sir?

17 A No.

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **PREPARED DIRECT TESTIMONY**

3 **OF**

4 **D. M. MESTAS, JR.**

5
6 **Q.** Will you please state your name, business address and
7 occupation?

8
9 **A.** My name is D. M. (Don) Mestas, Jr. My business address is
10 702 North Franklin Street, Tampa, Florida 33602, and I am
11 Assistant Director, Cogeneration, for Tampa Electric
12 Company, which is a Florida corporation with its principal
13 offices in Tampa, Florida.

14
15 **Q.** Would you please furnish a brief outline of your education
16 background and business experience?

17
18 **A.** I was educated in the public schools of Tampa, Florida and
19 the University of Florida in Gainesville, graduating in
20 1964 with a Bachelor of Industrial Engineering Degree. I
21 have been employed at Tampa Electric Company since May of
22 1964 and have experience in engineering, marketing and
23 other areas within the company. In August of 1980 I was
24 appointed to the position of Assistant Director of Load
25 Management in the company's Conservation and Load

1 Management Department. I currently serve as Assistant
2 Director, Cogeneration in Tampa Electric's Energy Services
3 & Planning Department.
4

5 Q. Have you previously testified before this Commission?
6

7 A. Yes. I testified in the Commission proceeding which
8 resulted in Tampa Electric's currently approved
9 conservation programs. I have also testified in Docket No.
10 820165-EU, which resulted in Commission approval of Tampa
11 Electric's cogeneration agreement with Conserv, a
12 qualifying facility, as well as in Docket No. 830199-EU,
13 which resulted in this Commission's approval of Tampa
14 Electric Company's small power production agreement with
15 the City of Tampa. I have participated in the cogeneration
16 rules implementation proceedings in Docket No. 830377-EU,
17 which resulted in Order No. 13247. I testified in Docket
18 No. 840399-EU regarding the provision of self-service
19 wheeling and I have participated in a number of other
20 hearings and workshops on conservation and cogeneration
21 conducted by this Commission. I also testified in this
22 Commission's Docket No. 881005-EG regarding capacity and
23 energy payments to government solid waste facilities. I
24 testified in this Commission's Docket No. 891049-EU
25 involving revisions to the Commission's rules pertaining to

1 cogeneration and small power production and in Docket No.
2 910004-EU regarding Tampa Electric's proposed standard
3 offer contract for cogenerators and small power producers.
4 I have testified in Docket No. 910603-EQ on negotiating
5 contracts between QFs and electric utilities and in Docket
6 Nos. 921288-EU, the Bidding Rule, and 931186-EQ, regarding
7 amendments to the Cogeneration Rules to ensure consistency
8 with the Bidding Rule.

9
10 Most recently, I appeared before the Commission in Docket
11 No. 941155-EQ to request approval of certain assignments
12 and modifications to a 1989 Standard Offer contract between
13 Tampa Electric Company, Orange Cogeneration, L.P. and Polk
14 Power Partners, L.P.

15
16 Q. What is the purpose of your testimony?

17
18 A. On December 20, 1994 the Commission voted in Docket No.
19 941155-EQ (Joint Petition for Expedited Approval of
20 Contract Modifications to a 1989 Standard Offer Contract by
21 Tampa Electric Company, Orange Cogeneration Limited
22 Partnership and Polk Power Partners LP) to approve certain
23 assignments and modifications of a standard offer contract
24 Tampa Electric had entered into. One of the issues
25 included in the Staff Recommendation was whether a

1 \$1,106,760 option payment from Polk Power Partners LP
2 ("Polk") to Tampa Electric "should be examined during Tampa
3 Electric's next fuel adjustment proceeding." At this point
4 no specific issues relative to the option payment have been
5 raised in the fuel adjustment docket. Inasmuch as the CASR
6 for this docket calls for preliminary lists of issues and
7 positions several weeks after the utilities' testimony is
8 due, we do not at this point know what, if any, issues will
9 be raised concerning the option payment. Thus, the purpose
10 of my testimony is to address, in a general way, the
11 Staff's reference to the upcoming fuel hearing in its
12 Report and Recommendation in Docket No. 941155-EQ. An
13 additional purpose of my testimony is to make myself
14 available as a witness to respond to any questions
15 concerning the Polk option payment to Tampa Electric which
16 may be raised at the next fuel adjustment hearing.

17
18 Q. Do you think the fuel adjustment proceeding is an
19 appropriate forum in which to examine any issues relative
20 to the option payment from Polk to Tampa Electric?
21

22 A. No I do not. As I indicated during the Agenda Conference
23 discussion on December 20, 1994 regarding the Tampa
24 Electric/Orange Cogeneration/Polk assignments and contract
25 modifications, Tampa Electric believes that the option

1 payment was properly booked as "other electric revenues"
2 and should not be subject to further examination,
3 especially not in the context of a fuel adjustment
4 proceeding. The option payment represents a contribution
5 towards Tampa Electric's revenue requirement which might
6 otherwise be required of the company's electric customers.
7 This option payment of \$1.1 million was in addition to the
8 estimated \$1.5 to \$4.5 million in additional direct
9 benefits which Tampa Electric's customers will receive as
10 a result of modifications to the standard offer contract.

11

12 Q. In Staff's discussion under Issue 6 in the Tampa
13 Electric/Orange Cogeneration/Polk docket, the Staff
14 concluded that the option payment "may be more
15 appropriately credited to Tampa Electric's capacity
16 recovery clause because this is where the capacity payments
17 to Qfs are recovered." Do you agree?

18

19 A. No I do not. First of all, this was not a capacity payment
20 to a QF. It was a negotiated settlement amount and an
21 alternative to Tampa Electric constructing a temporary
22 interconnection with the Orange Cogeneration site at a cost
23 of approximately \$2 million. Had that construction been
24 performed, the payment Polk would have made to Tampa
25 Electric would have been booked as a contribution in aid of

1 construction ("CIAC") and would not have been included in
2 any recovery clause. Such a payment would not have been
3 properly flowed through a capacity cost recovery clause.
4 The mere fact that Tampa Electric agreed to a more cost
5 effective alternative than a CIAC of approximately \$2
6 million should not affect the regulatory treatment of the
7 consideration Tampa Electric received in exchange for its
8 consent to the assignments and modifications of the
9 standard offer contract.

10
11 Q. Does this conclude your testimony?

12
13 A. Yes it does.
14
15
16
17
18
19
20
21
22
23
24
25

1 Q Would you please summarize, Mr. Mestas?

2 A Yes. The purpose of my testimony is to
3 address the issue identified as No. 23A regarding
4 whether an option payment from Polk Power Partners to
5 Tampa Electric Company, which was booked above the line
6 as "other electric revenues," should be treated as a
7 credit in the capacity cost recovery clause examined
8 during this fuel adjustment proceeding.

9 The option payment by Polk Power Partners was
10 made possible because of a mutually acceptable series of
11 negotiations between Polk Power Partners and Tampa
12 Electric Company. It was not a refund of payments made
13 by our customers. It was a function of Tampa Electric
14 conducting a prudent business practice in our day-to-day
15 operations, and it represents a contribution towards
16 Tampa Electric's overall revenue requirements which
17 might otherwise be required of the Company's electric
18 customers.

19 We believe the option payment we received
20 should be treated the same as any other revenues. In
21 addition to the option payment, our customers will
22 receive additional fuel savings of up to \$4.5 million,
23 additional benefits which the Staff has previously
24 agreed are reasonable as a result of these negotiations.
25 What we have accomplished is both fair and symmetrical

1 for all parties.

2 The option payment was negotiated as a
3 cost-effective alternative to otherwise construct in a
4 temporary interconnection to the Orange Co. cogeneration
5 site at a cost of approximately \$2 million. Had the
6 temporary interconnection construction been performed,
7 the entire payment would have been booked as a
8 contribution in aid of construction, and as such would
9 not have been included in any recovery clause.

10 Since Tampa Electric is permitted to earn a
11 return within an allowable range, we should be able to
12 seek opportunities to optimize our revenues, as well as
13 striving to identify ways to reduce our costs in order
14 to meet our overall revenue requirements and defer the
15 need for future rate increases.

16 We agreed to a cost-effective alternative to
17 the \$2 million CIAC, and we ask that you concur with our
18 conclusion that the regulatory treatment of the
19 consideration Tampa Electric received should not be
20 affected by this fuel adjustment proceeding. We should
21 not be penalized for making the right decision.

22 This concludes my summary.

23 MR. BEASLEY: We tender Mr. Mestas for cross
24 examination.

25 COMMISSIONER DEASON: Mr. Howe?

1 MR. HOWE: Thank you.

2 CROSS EXAMINATION

3 BY MR. HOWE:

4 Q Hello, Mr. Mestas.

5 A Hello, Mr. Howe.

6 Q With reference to your prefiled testimony and
7 your summary, the temporary interconnection with the
8 Orange Co. cogeneration site that would have had to have
9 been built at a cost of approximately \$2 million, why
10 would that construction have been necessary in the
11 absence of the settlement?

12 A The settlement allowed a delay in providing
13 capacity from that facility. Absent the delay, the
14 interconnection would have been provided by Tampa
15 Electric to Orange Co., which would have allowed them to
16 deliver capacity at an earlier date.

17 There was some concern by Orange Co. that an
18 interconnection which was under construction by another
19 utility company, there was some concern as to whether or
20 not that might be available in time to deliver capacity
21 to meet the commitment.

22 Q If Tampa Electric had, in fact, constructed
23 this interconnection, would Tampa Electric have incurred
24 a cost of approximately \$2 million?

25 A Yes.

1 Q So the Company would have had an expenses
2 investment of approximately \$2 million, which would have
3 been offset by a receipt of CIAC in equal amount, would
4 it not?

5 A That's exactly correct, which is why this is a
6 more cost-effective alternative.

7 Q When Tampa Electric is billed by a qualifying
8 facility, is it billed separately for capacity and
9 energy?

10 A If Tampa Electric Company has a capacity
11 contract with a cogeneration customer, there is a stream
12 of capacity payments provided the customer meets the
13 performance criteria that they are entitled to. The
14 energy payments are determined generally on an
15 hour-by-hour basis in terms of the payment. The payment
16 to that customer generally group together in a single
17 payment, but the calculation of those two parameters are
18 calculated independently of one another.

19 Q Does Tampa Electric have a contract with Polk
20 Power Partners for the payment of both capacity and
21 energy?

22 A Yes, it does.

23 Q Is Tampa Electric currently receiving capacity
24 and energy from Polk?

25 A Beginning in January of this year, we began to

1 receive capacity and energy from Polk Power Partners.
2 The option payment we are making reference to was made
3 in October of 1993 and had absolutely nothing to do with
4 capacity payments.

5 Q How was payment made? Was it a check from
6 Polk to Tampa?

7 A Yes. It was a wire transfer.

8 Q Does the payment of that -- what's it called?
9 An option payment?

10 A Yes.

11 Q Was the payment of the option payment by Polk,
12 did that have the effect of reducing receipts to Polk
13 from Tampa Electric by an amount of \$1,106,760 over the
14 life of the contract?

15 A No.

16 Q Why not? Wouldn't Polk have received an
17 additional -- wouldn't the net effect of Polk be that
18 they would receive an additional \$1.1 million from Tampa
19 Electric in the absence of the option payment?

20 A You are adding apples and oranges here. Let
21 me clarify that a moment. The \$1.1 million that we
22 agreed upon in terms of an option, other than
23 temporarily constructing the interconnection, was the
24 option payment I made reference to.

25 In terms of Polk delivering capacity

1 commencing January of 1995, to the extent they delivered
2 that capacity and met the performance requirements, then
3 payment to Polk for the entire amount of capacity they
4 delivered, would be made in full. So those are two
5 separate issues.

6 Now, if you want to add the fact that they
7 made a payment, an option payment, to us of 1.1 million
8 and received something else from us in January of 1995,
9 in fact, or the net results of those two transactions,
10 then, of course, you will reach some different
11 conclusion.

12 Q Well, the conclusion I necessarily reach,
13 isn't it that Polk Power Partners will receive \$1.1
14 million less from Tampa Electric?

15 A No, sir. Polk Power Partners will receive the
16 full capacity payment for the capacity they provided to
17 us in January of 1995 including the entire energy
18 payment as well. As I mentioned a moment ago, those are
19 calculated together and paid in one lump sum. And if
20 you look at the capacity payment and the energy payment,
21 then they received what was allowed for and provided for
22 in the contract.

23 Q But their net total receipts in dollars from
24 Tampa Electric would necessarily be the receipt of
25 capacity payments and energy payments net of the cash

1 they paid to Tampa Electric of \$1.1 million, wouldn't
2 it?

3 A Certainly, if you wanted to include that
4 expense, that's correct.

5 Q Under the original contract between Tampa
6 Electric and Polk, when was Polk scheduled to start
7 providing the capacity and energy to Tampa Electric?

8 A In January of 1995.

9 Q What was the benefit to Polk Power Partners
10 from entering into this option payment agreement?

11 A It provided them with two things. The benefit
12 was, initially, as I mentioned a moment ago, it was to
13 avoid the construction of a temporary interconnection
14 which would allow the Orange Co. cogen facility to
15 deliver capacity to Tampa Electric by January of 1995.
16 In lieu of that, we provided Polk Power Partners with an
17 opportunity to delay delivery from Orange Co. to Tampa
18 Electric by six months if they elected to deliver that
19 capacity to us from the Orange Co. facility.

20 In the interim, their Mulberry energy
21 facility, which is the facility to whom we originally
22 contracted, is providing the capacity and energy to us
23 in January of 1995 as provided for in the original
24 contract.

25 Q So is the only effect of this option payment

1 to change the point of delivery?

2 A There are several things here with respect to
3 the option payment. One is it's in lieu of an
4 interconnection payment, a temporary interconnection
5 payment, as I mentioned a moment ago. The other option
6 is an opportunity for Polk Power Partners to allow their
7 Orange Co. facility, if they elect that option, to allow
8 their Orange Co. facility to deliver the capacity to
9 Tampa Electric Company beginning in June of 1995.

10 Q Excuse me, you said June of 1995?

11 A July of 1995.

12 Q And what was the reference to the January 1995
13 date?

14 A Well, Mr. Howe, when this contract was
15 originally entered into, the in-service date of the
16 capacity to be provided Tampa Electric Company was to
17 commence on January 1, 1995. That has occurred. That
18 capacity is being delivered to Tampa Electric Company
19 from the Mulberry energy facility beginning in January
20 1, 1995.

21 Based on modifications to the agreement that
22 we entered into with Polk Power Company -- Polk Power
23 Partners, which included a negotiation with respect to
24 the interconnection I mentioned a moment ago, it also
25 included some performance requirements that were

1 modified to allow us to receive that capacity during
2 on-peak hours, and things of that fashion, which
3 resulted in the \$4.5 million of additional fuel saving
4 benefits I mentioned a moment ago.

5 And in addition to that package, in terms of
6 the negotiations relative to that agreement, we allowed
7 them an option to have the capacity that they intended
8 to provide to Tampa Electric under contract provided
9 from an alternate facility as of July of 1995. And in
10 the interim until that point in time, they would
11 continue to deliver the capacity from the Mulberry
12 energy facility.

13 Q Was the Mulberry energy facility the point of
14 delivery to Tampa Electric under the original contract?

15 A Mr. Howe, both of those facilities are located
16 in Florida Power Corporation's territory, and the energy
17 and the capacity would have been wheeled to Tampa
18 Electric via an interchange with Florida Power Corp from
19 either facility. So the delivery mechanism is unchanged
20 irregardless of the location of the two facilities.

21 Now, the problem was that the interconnection
22 from Florida Power Corp to Orange Co. was in suspect, in
23 terms of having it available in time to effectuate the
24 delivery of capacity from Orange to TECO, beginning in
25 January of '95. Their facility is very close to our

1 service area between the two utilities, and it would
2 have been economically a reasonable option for them to
3 pursue; to have us construct a temporary interconnection
4 facility, which is what began the initial negotiations
5 with respect to this entire matter.

6 You missed much of the discussion during the
7 agenda conference, and to step in at this point, puts
8 you at somewhat of a disadvantage.

9 Q If a settlement between Tampa Electric Company
10 and Polk Power Partners had -- or hypothetically had
11 gone the other way and it required Tampa Electric
12 Company in advance of the effective date of the
13 cogeneration contract to make a cash payment to a
14 cogenerator of, let's say, \$1.1 million, would Tampa
15 Electric consider that to be either a fuel or purchased
16 power cost for which it would be entitled to recovery
17 through the fuel adjustment clause?

18 A I can't -- well, I was going to say I can't
19 envision any circumstance or example that you've
20 painted, but I can now; and the answer would be, yes.
21 And the circumstance is such that in situations whereby
22 the company advances capacity payments to cogenerators
23 in advance of the in-service date, we call those early
24 capacity payments. And as such, we may recover those
25 payments from our customers in terms of the fuel

1 adjustment, the capacity recovery clause.

2 Q Is the only difference the name given to the
3 payment whether it's capacity payment or option payment?

4 A No. There is a tremendous amount of
5 difference here. We are talking about two different
6 things entirely.

7 This payment has absolutely nothing to do with
8 capacity payments. This payment is in lieu, and was
9 negotiated in lieu of us constructing an interconnection
10 line to Orange Co. The capacity that Polk and Orange
11 will ultimately deliver to Tampa Electric Company will
12 be such that if they meet the performance requirements,
13 they will receive compensation for capacity delivered,
14 the full capacity delivered. And so our customers will
15 be receiving what we contracted for.

16 Q Would you agree the net financial burden on
17 Tampa Electric though for its complete business dealing
18 with Polk Power Partners will be \$1.1 million less?

19 A No, sir, I can't agree to that. If you look
20 at the other alternatives that were possible, and you
21 touched on one of them whereby the revenue and the
22 expense, had the interconnection been constructed, would
23 have been a wash as far as Tampa Electric was concerned
24 under that particular example. And payments to the
25 cogenerator for the capacity and energy he delivered to

1 us, which is the same capacity and energy he is
2 delivering to us today, would have been recovered as
3 received, as those benefits were received, through the
4 fuel adjustment clause.

5 So I'm not sure I understood your question or
6 that I agreed with your other question.

7 MR. HOWE: I have no further questions.

8 MR. McWHIRTER: I have no questions of
9 Mr. Mestas.

10 COMMISSIONER DEASON: Staff?

11 CROSS EXAMINATION

12 BY MS. BROWN:

13 Q Mr. Mestas, we are not going to get into the
14 merits of the standard offer contract that was
15 renegotiated by TECO and Polk because the Commission has
16 already ruled on that. We are going to limit our
17 questions just to the manner of treatment of the dollars
18 associated with the option payment.

19 Now, in your testimony you stated that the
20 option payment would have cost the cogenerator \$1.1
21 million, or did cost the cogenerator \$1.1 million, as
22 opposed to \$2 million that it would have cost the
23 cogenerator to pay for a temporary interconnection cost;
24 is that correct?

25 A That's approximately correct, yes, around

1 there.

2 Q Yes?

3 A Yes.

4 Q The point I'm trying to stress here is that
5 either way, the costs that came from the cogenerator --
6 the cogenerator paid the costs either way; is that
7 correct? It reimbursed -- if it had built the
8 interconnection, it would have had to reimburse Tampa
9 Electric Company for the costs to construct that,
10 correct?

11 A Yes. We would have had that expense, and they
12 would have reimbursed us for that expense.

13 Q Yes. And as it was, they paid you \$1 million
14 to execute the option agreement instead, correct?

15 A That's correct.

16 Q So the costs that were associated with either
17 one of those alternatives fell to the cogenerator, not
18 to Tampa Electric?

19 A Well, as I mentioned a moment ago, we mutually
20 just agreed. And it was a benefit to the cogenerator,
21 but he now had \$1 million in cost rather than \$2 million
22 in costs.

23 Q Let me repeat my question, and would you
24 please answer yes or no?

25 A Yes, ma'am.

1 Q The answer is yes?

2 A It was a \$1 million cost to the cogenerator.

3 Q To the cogenerator --

4 A Yes.

5 Q -- not to Tampa Electric Company. Thank you.

6 Tampa Electric Company, however, did receive
7 the revenues from the option transaction, correct?

8 A Yes, ma'am.

9 Q Okay.

10 A But there's other electric revenues above the
11 line.

12 Q Right. Tampa Electric Company received the
13 benefits; the cogenerator paid the costs, correct?

14 A Both parties received benefits.

15 Q That is true. I agree with you on that.

16 Now, with respect to the standard offer
17 contract, Tampa Electric Company has the obligation
18 under the terms of that standard offer contract to make
19 capacity and energy payments to Polk Power Partners -- I
20 guess it's the Mulberry facility now. Is that correct?

21 A That's correct.

22 Q And as Mr. Howe was asking you, there are
23 those two components of Tampa Electric Company's
24 obligations under the standard offer contract: The
25 capacity payment component and the energy payment

1 component, correct?

2 A That's correct.

3 Q The capacity payment component remains fixed;
4 is that correct?

5 A Well, it remains fixed for the life of the
6 contract. But within that capacity payment stream are
7 built in escalations, so it's not the same quantity; the
8 payment stream is fixed.

9 Q It is fixed from the date of execution of the
10 contract, correct?

11 A Yes.

12 Q The energy payment component, however, can
13 fluctuate; is that correct?

14 A That is correct. It's based on the hour by
15 hour of marginal costs or the average charge-out rate
16 for our Big Bend 4 Unit, whichever is lesser.

17 Q And it can go up. If it fluctuates, it can go
18 up and down, and is there a --

19 A It could never be greater than the average
20 charge-out rate of Big Bend 4 Unit.

21 Q Right.

22 A But it generally would fluctuate below that;
23 in the neighborhood of \$11 to \$12 in megawatt hours
24 sometimes.

25 Q Now, the obligation that Tampa Electric

1 Company has under the terms of the standard offer
2 contract to make these capacity payments and energy
3 payments to Mulberry are recovered dollar for dollar
4 from Tampa Electric Company's ratepayers through the
5 capacity cost recovery clause; is that correct?

6 A To the extent those payments are made, yes,
7 ma'am.

8 MS. BROWN: Just a second, Commissioner.

9 (Pause)

10 Q (By Ms. Brown) So TECO is, in essence,
11 guaranteed dollar-for-dollar recovery of all payments to
12 the cogenerator from the ratepayer; and the company
13 bears none of the risks associated with any fluctuating
14 energy costs that may arise under that contract,
15 correct?

16 A The payments are based on avoided energy cost
17 and, theoretically, it's cost that we would otherwise
18 incur if the cogenerator were not there. So
19 conceivably, if for some month or period of time the
20 cogenerator was unable to perform and provide the
21 contracted commodity, then conceivably we could provide
22 it at our cost, and the impact on our customers would
23 have been unchanged.

24 Q But as you say, conceivably, that could
25 happen. What happens --

1 A Well, that is what happens.

2 Q But it hasn't -- all right.

3 Would you agree, though, that the capacity
4 cost recovery clause is a dollar-for-dollar recovery
5 mechanism?

6 A It's a dollar-for-dollar recovery mechanism
7 for dollars spent by the customers for benefits received
8 by the customers. In other words, the point I was
9 trying to make earlier was that this option payment is
10 unrelated to a capacity payment.

11 Our customers made no expenditure with respect
12 to the contribution from Polk Power Companies for the
13 avoidance of the interconnection. And it's why I
14 thought that the timing, whereby I made reference to the
15 option payment of October 1993 in the delivery of
16 capacity to Tampa Electric Company from Polk Power, Polk
17 Power Partners, beginning in January of 1995 -- January
18 of 1995 was the first occasion our customers had to make
19 the capacity payment for the benefits they received.

20 Q You state in your testimony that -- and you
21 said here -- you credited the option payment to other
22 electric revenues and that represents a contribution
23 toward Tampa Electric's revenue requirement?

24 A Yes, ma'am.

25 Q And by "revenue requirement," you are

1 referring to money that Tampa Electric needs to cover
2 its base rate costs and to earn a fair rate of return on
3 its investment, correct?

4 A Yes, ma'am.

5 Q So when you speak of revenue requirement, you
6 do not consider the money that TECO collects from its
7 adjustment clause, such as the fuel and purchased power
8 clause, to be part of the revenue requirement, correct?

9 A That's correct.

10 Q Would you agree that there are many factors
11 that affect TECO's ability to achieve its base rate
12 revenue requirement, such as mild weather, loss of
13 customers or an increase in base rate costs?

14 A Yes.

15 Q So in any given year, TECO bears the risk of
16 meeting its revenue requirement; is that correct?

17 A Yes.

18 Q Would you agree that as a general principle,
19 the Commission attempts to match the benefits of a
20 transaction to the risks of that transaction?

21 A I would think so, yes.

22 Q So if the ratepayers are bearing the risks
23 of -- primarily bearing the risk of the cogeneration
24 contract that you have with Mulberry, shouldn't they
25 also receive the benefits?

1 A Please allow me to elaborate a moment on that
2 response.

3 Q Can I have a "yes" or "no" answer?

4 A Give me the question again.

5 Q Would you agree, as a general principle, that
6 if the ratepayers are going to bear the risks associated
7 with the cogeneration contract that you have with
8 Mulberry, that they should also receive the benefits?

9 A Yes. And if you'll allow me to elaborate a
10 moment.

11 Q Go ahead.

12 A As I mentioned a moment ago, there are
13 substantial benefits that the cogenerators are receiving
14 with respect to this contract that they were not going
15 to receive prior to the revisions or the negotiations to
16 it. The additional \$4.5 million which they will be
17 direct beneficiaries of in terms of lower fuel cost,
18 that is a direct benefit as a result of this
19 negotiation, which they otherwise would not have
20 received.

21 If you look at the combined benefits
22 associated with this package, as far as I can tell,
23 hopefully, there are three winners in this agreement.
24 Everyone won.

25 Polk Power Partners won in that they resolved

1 an issue that's half of what their costs otherwise would
2 have been. Our ratepayers received benefits of \$4.5
3 million or more that they otherwise would not have
4 received. And Tampa Electric Company booked \$1 million
5 as other electric revenues -- \$1.1 million as other
6 electric revenues, above the line, to help us meet our
7 expenses and to provide us an opportunity to earn within
8 an allowable range of return. So, yes, they received
9 benefits as we all did.

10 Let me focus on the risks a moment. That's
11 the other side of the equation. Those are the benefits.

12 The contract that Tampa Electric Company
13 entered into in late 1980 with Polk Power Partners, the
14 standard offer contract that you made reference to a
15 moment ago, envisioned risks associated with these
16 contracts. And it included a discount, if you'll
17 recall, an 80% full avoided cost discount such that the
18 capacity purchases from cogenerators who executed that
19 standard offer contract was discounted initially in
20 order to offset some of the risks.

21 Number two, with respect to this agreement,
22 there are no early capacity payments. There are no
23 premature payments for capacity that our ratepayers must
24 attempt to recover over the life of the contract.

25 The agreement we have with Polk Power Partners

1 is if they deliver capacity, meet the performance criteria,
2 they receive payment. If they don't, they don't.

3 So to the extent they fail to perform the
4 capacity payments that we would otherwise use to
5 purchase capacity from that customer, could be used to
6 purchase capacity from other sources. Our customers are
7 clearly better off today than they were prior to the
8 negotiations.

9 Q I just have one final question. Tampa
10 Electric was able to benefit from the option payment
11 from Polk because of the standard offer contract that it
12 had with Polk Power Partners, correct?

13 A I don't necessarily agree with that. Is that
14 a question?

15 Q Yes.

16 A Okay. The way I would like to look at it is
17 we had a contract with Polk Power Partners to deliver
18 capacity beginning in January 1995. They are doing that.

19 They are doing that. The contract did not
20 have to be changed for them to do that. What we did was
21 we entered into a negotiation with them which allowed
22 them to use a different facility to provide the capacity
23 which was going to be wheeled to us in either event from
24 Florida Power Corporation. And in lieu of building an
25 interconnect to them to allow them to accomplish that by

1 the in-service date, we provided them with an
2 opportunity to delay that and delay building the line by
3 granting them a six-month delay.

4 So I would like to look at the contract for
5 the purchase of capacity and energy as separate for the
6 negotiated agreement we made with the supplier.

7 MS. BROWN: No further questions.

8 COMMISSIONER DEASON: Commissioners,
9 questions?

10 Mr. Mestas, I have a question. The temporary
11 interconnection that was avoided, is it avoided totally
12 now; or is it going to have to be constructed at some
13 point?

14 WITNESS MESTAS: No, sir, it's totally
15 avoided.

16 COMMISSIONER DEASON: Okay. And it would have
17 been necessary to have constructed that so that the
18 contracted-for capacity could have been provided at the
19 anticipated due date?

20 WITNESS MESTAS: So that the contracted
21 capacity from the Orange Co. facility could have been
22 delivered to Tampa Electric on the in-service date from
23 the Orange Co. facility.

24 COMMISSIONER DEASON: Now, how does Orange Co.
25 fit into the future plans of TECO?

1 WITNESS MESTAS: Well, to the extent that
2 thatcustomer exercises -- the Polk Power Partners
3 exercises the option to have the Orange Co. facility
4 deliver the remaining capacity commitment to Tampa
5 Electric Company beginning in July of this year, then it
6 will be the facility which provides a contracted
7 capacity to us. It will be delivered to Florida Power
8 Corporation, which will then, of course, deliver it to
9 Tampa Electric Company.

10 Polk Power Partners is a holding company; and
11 if you recall, they had the two facilities: The
12 Mulberry energy facility and the Orange Co. facility.
13 And as I mentioned a moment ago, the Mulberry facility
14 is providing the capacity based on the in-service date
15 required by the cogen contract of January 1995.

16 Based on our negotiated agreement and the
17 various terms that we spoke of at the agenda conference,
18 the changing in the performance requirements and things
19 of that fashion, they have an option that they can elect
20 to provide that capacity to Tampa Electric Company from
21 this alternate, the Orange Co. facility, if they elect
22 to do so. And I would imagine they are going to
23 exercise that option.

24 They had intended to provide the capacity
25 totampa Electric Company from the Orange Co. facility on

1 or before January 1995. But the thing that was delaying
2 that was their concern about whether or not an
3 interconnection would have been completed on time. That
4 interconnection was the interconnection they were going
5 to have with the Florida Power Corporation to that
6 facility.

7 And so, because of that concern they
8 negotiated with us about initially, well, could we
9 provide a temporary interconnection to the Orange Co.
10 site so that they could deliver the capacity to us? We
11 said we could. As we discussed it further, we reached
12 a conclusion that it would be in everybody's best
13 interest that in lieu of spending \$2 million to build
14 something and then take it back down, all the parties
15 could benefit by this option payment that we discussed
16 earlier today.

17 COMMISSIONER DEASON: The Power Corp
18 interconnection will be completed by July?

19 WITNESS MESTAS: Yes.

20 COMMISSIONER DEASON: Redirect?

21 MR. BEASLEY: I have no redirect, sir.

22 COMMISSIONER DEASON: And I believe there is
23 no exhibit?

24 MR. BEASLEY: No exhibit.

25 COMMISSIONER DEASON: Okay. Very well.

1 Thank you, Mr. Mestas.

2 (Witness Mestas excused.)

3 - - - - -

4 COMMISSIONER DEASON: That concludes all
5 witnesses in the 01 docket?

6 MS. BROWN: Yes, it does, Commissioner.

7 COMMISSIONER DEASON: Okay. What is remaining
8 in the 01 Docket?

9 MS. BROWN: What is remaining is the
10 Commission's decision on the outstanding issues.

11 COMMISSIONER DEASON: Did we contemplate any
12 type of closing argument or anything of that nature?

13 MS. BROWN: I think that would be appropriate
14 here. It's not contemplated in the Prehearing Order;
15 but because probably the Commission will want to make a
16 bench decision in the case, I think that would give all
17 the parties the opportunity to sum up.

18 COMMISSIONER DEASON: Okay. Well, I'm not
19 going to do that now. We're going to move into 02.

20 To the extent parties wish to make closing
21 statements, it may be tomorrow. And if they wish not to
22 be here tomorrow, then they waive their right to closing
23 statement. We are going to go into 02 at this time.

24 MR. KAUFMANN: Commissioner, before you do
25 that, regarding closing arguments, is there the

1 possibility, from what I can see from the Prehearing
2 Order, of a briefing as an alternative?

3 We can do it on a pretty quick schedule, but I
4 think that there is a lot of information that was
5 brought out on these issues. And I think a better
6 presentation could be made in the form of a brief.

7 COMMISSIONER DEASON: If you can write it
8 tonight and present it tomorrow, that's fine. But we're
9 going to have either a brief or closing argument
10 tomorrow, and a decision will be made tomorrow.

11 MS. BROWN: Commissioner, if I might just
12 point out for the record, on Page 4 of the Prehearing
13 Order under "Posthearing Procedures" the first sentence
14 reads: "Unless the Commission reaches a decision on the
15 issues in this case from the bench, Rule 25-22.056
16 provides that the parties shall file posthearing
17 statements."

18 COMMISSIONER DEASON: I'm sorry, where are
19 you? You're on Page 4?

20 MS. BROWN: Page 4.

21 COMMISSIONER DEASON: Under?

22 MS. BROWN: Posthearing procedures.

23 COMMISSIONER DEASON: Okay.

24 MS. BROWN: The Prehearing Order contemplates
25 that if the Commission decides to reach a bench decision

1 in the fuel docket, there will be no posthearing
2 filings.

3 COMMISSIONER DEASON: Very well.

4 We are going to move into 02.

5 MR. CHILDS: Commissioner, could I be excused
6 on 01 until tomorrow morning? You're not going to
7 proceed with 01 any further?

8 COMMISSIONER DEASON: I'll tell you what my
9 plans are; we are going to work until 5:00.

10 MR. CHILDS: Okay.

11 COMMISSIONER DEASON: But we are not going to
12 go past 5:00. If by some miracle we were going to
13 conclude 02 and we can get to closing arguments on 01
14 before 5:00, we'll do it.

15 MR. CHILDS: All right, fine.

16 COMMISSIONER DEASON: But I don't know what
17 the likelihood of that is. It may be that 02 will take
18 us until 5:00.

19 * * * * *

20 (Thereupon, the hearing adjourned at 4:00 p.m,
21 to reconvene at 9:30 a.m., at the same location at the
22 same address.)

23 * * * * *

24 (Transcript continues in sequence in Volume 4.)

25