

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

In re: Petition by AT&T) Docket No. 960833-TP
 Communications of the Southern) Docket No. 960846-TP
 States, Inc., MCI) Docket No. 960916-TP
 Telecommunications Corporation,)
 MCI Metro Access Transmission)
 Services, Inc., American)
 Communications Services, Inc.)
 and American Communications)
 Services of Jacksonville, Inc.)
 for arbitration of certain terms)
 and conditions of a proposed)
 agreement with BellSouth)
 Telecommunications, Inc.)
 concerning interconnection and)
 resale under the)
 Telecommunications Act of 1996)

SECOND DAY - LATE AFTERNOON SESSION

VOLUME 9

PAGES 1288 through 1387

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN SUSAN F. CLARK
 COMMISSIONER J. TERRY DEASON
 COMMISSIONER JULIA L. JOHNSON
 COMMISSIONER DIANE K. KIESLING
 COMMISSIONER JOE GARCIA

DATE: Thursday, October 10, 1996

PLACE: Betty Easley Conference Center
 Room 148
 4075 Esplanade Way
 Tallahassee, Florida

REPORTED BY: LISA GIROD JONES, RPR, RMR

APPEARANCES:

(As heretofore noted.)

BUREAU OF REPORTING

RECEIVED 10-11-96

DOCUMENT NUMBER-DATE

10923 OCT 11 96

FPSC-RECORDS/REPORTING

I N D E X - VOLUME 9

WITNESSES

3	NAME	PAGE NO.
4	MARVIN H. KAHN	
5	Direct Examination by Mr. Horton	1290
6	Prefiled Direct Testimony inserted	1294
6	Prefiled Supplemental Testimony inserted	1336
7	Prefiled Rebuttal Testimony inserted	1346
7	Cross Examination by Mr. Lackey	1371
8	Cross Examination by Ms. Canzano	1377

EXHIBITS

10	NUMBER	IDENTIFIED	ADMITTED
11	41 - (Kahn) MHK-1	1293	

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PROCEEDINGS

(Transcript continues in sequence from
Volume 8.)

MR. HORTON: And I would call Dr. Kahn.

MARVIN H. KAHN

was called as a witness on behalf of ACSI, and having
been duly sworn, testified as follows:

DIRECT EXAMINATION

BY MR. HORTON:

Q Dr. Kahn, you were also sworn, were you not?

A Yes, I have been.

CHAIRMAN CLARK: Just for your information, I
would propose at this point to finish with Dr. Kahn,
we'll take a 15-minute break. I'm going to go up and
get a microwave meal and bring it down here. So we'll
be taking 15 minutes. You send out for food, send other
people out for food, and then we will work straight
through until 8:00 or a little while thereafter. Okay?
Go ahead, Mr. Horton.

MR. HORTON: Thank you.

Q (By Mr. Horton) Could you please state your
name and address for the record?

A My name is Marvin, middle initial H, Kahn,
K-A-H-N.

Q And by whom are you employed?

1 A Exeter Associates, Incorporated.

2 Q And did you prepare and prefile in this docket
3 direct testimony consisting of 42 pages, supplemental
4 direct testimony consisting of 10 pages and rebuttal
5 testimony consisting of 16 pages?

6 A Yes, I did.

7 Q And do you have any changes or corrections to
8 make to this testimony at this time?

9 A Yes, I do. Turning to the direct testimony,
10 Page 3, Line 9, sentence there beginning with the words
11 "A copy of," that entire sentence should be deleted.

12 Page 32, Line 18 -- or to put it differently,
13 a section of the testimony beginning at Page 32, Line
14 18, and continuing on through Page 34, Line 17, should
15 be stricken.

16 Page 36, Line 18, the fourth word on that line
17 is BellSouth. It should instead be US West.

18 MR. LACKEY: Could I have that one again,
19 Madam Chairman? I missed that one.

20 WITNESS KAHN: Page 36, Line 18.

21 Excuse me, with regard to the supplemental
22 testimony, there's an exhibit attached to the
23 supplemental testimony that was updated as a result of
24 passing events and updating of information. The
25 original exhibit was replaced with an exhibit identified

1 as revised, and it's my understanding that that has been
2 provided to the parties.

3 And then, finally, with regard to the rebuttal
4 testimony, there are a number of places in the rebuttal
5 testimony -- not having had the opportunity prior to
6 this time to come in contact with Ms. Caldwell, there
7 was some doubt in our minds as to whether Witness
8 Caldwell was a he or a she, male or female. The flip of
9 the coin resulted in our making reference to Witness
10 Caldwell as a male, and it turns out that is incorrect.
11 I apologize for that. There are a few places in the
12 testimony -- I could go through them -- but in general,
13 we would like them to be reflected that we were wrong,
14 and that in fact we recognize that Witness Caldwell is
15 female. Those are the changes.

16 Q (By Mr. Horton) And with those changes, if I
17 were to ask you the questions contained in your direct,
18 supplemental direct and rebuttal testimony today, would
19 your answers be the same?

20 A Subject to only one modification, and that's
21 due to the passage of time. Information has been
22 provided, but the questions and answers that appear in
23 the testimony would be the answers that I would give
24 today, given the information at our disposal at the
25 time.

1 Q I take it that's a yes?

2 A Yes, subject to the prehearing rules,
3 correct.

4 MR. HORTON: Madam Chairman, I would request
5 that his direct testimony, supplemental direct and
6 rebuttal testimony be inserted into the record as though
7 read.

8 CHAIRMAN CLARK: It will be inserted into the
9 record as though read.

10 Q (By Mr. Horton) Dr. Kahn, you made reference
11 to an exhibit attached to your supplemental direct that
12 has been revised. Did you prepare -- or do you have any
13 other corrections to make to that exhibit?

14 A I do not -- excuse me, yes, I apologize.
15 There is one. The first column is entitled Density Zone
16 Households Per Square Mile. That label is incorrect.
17 It should instead be Density Zone Lines Per Square
18 Mile. I would like to scratch the word "Household" and
19 in its place use the word "Lines." Thank you.

20 MR. HORTON: Madam Chairman, we would like to
21 request that Dr. Kahn's Exhibit MHK-1 be identified as
22 Exhibit 41.

23 CHAIRMAN CLARK: It will be identified as
24 Exhibit 41.

25 (Exhibit No. 41 marked for identification.)

1 TESTIMONY OF

2 DR. MARVIN H. KAHN

3 **I. QUALIFICATIONS**4 Q. PLEASE STATE YOUR NAME, POSITION AND BUSINESS
5 ADDRESS.6 A. My name is Marvin H. Kahn. I am a Senior Economist and a
7 founding principal of Exeter Associates, Inc. Our offices are
8 located at 12510 Prosperity Drive, Silver Spring, Maryland
9 20904.10 Q. PLEASE REVIEW YOUR BACKGROUND AND
11 QUALIFICATIONS.12 A. I am an economist specializing in public utility regulation,
13 energy, communications and antitrust analysis. My primary
14 research interest is in the application of microeconomic principles
15 to public policy issues. Over the last several years, my interests
16 have turned most specifically to matters regarding the regulation
17 of firms operating simultaneously in competitive and non-
18 competitive markets. Particular issues addressed include the
19 unbundling of services, the effects of imposing line of business
20 restrictions on regulated firms, assessments of alternative
21 regulatory structures, and matters regarding cost allocation and
22 rate design.

1 In addition to my consulting experiences, I taught
2 economics or lectured at the University of Tennessee, the
3 University of Missouri in St. Louis, Washington University in St.
4 Louis, at Merrimac College and at The Johns Hopkins
5 University. I served as a senior economist with the Institute of
6 Defense Analysis and the Mitre Corporation, both not-for-profit
7 Federal Contract Research Centers in the Washington, D. C.
8 metropolitan area. I also served as a senior staff economist with
9 an Ad Hoc Committee of the U.S. House Committee on
10 Currency and Banking, focusing on energy and employment
11 issues.

12 I am a graduate of Ohio Northern University and hold a
13 Ph.D. in Economics from Washington University in St. Louis.

14 **Q HAVE YOU TESTIFIED BEFORE REGULATORY**
15 **AGENCIES ON MATTERS DEALING WITH**
16 **TELECOMMUNICATIONS?**

17 **A. Yes. I have served as an expert witness on matters regarding**
18 **telecommunications before commissions in over 20 jurisdictions**
19 **in this country and Canada. I have also undertaken research and**
20 **prepared reports on ratemaking issues for the U.S. Postal**
21 **Service, the National Association of State Utility Consumer**

1 Advocates (NASUCA), the Federal Communications Commission
2 (FCC) and the National Regulatory Research Institute (NRRI).

3 Q. HAVE YOU TESTIFIED ON ISSUES RELATED TO LOCAL
4 COMPETITION?

5 A. Yes. I have testified on local competition issues in California,
6 Delaware, Kentucky, Pennsylvania, and West Virginia. Directly
7 or indirectly, all of these testimonies involved the issue of
8 appropriate pricing for unbundled telecommunications network
9 elements. ~~A copy of my resume listing my prior testimonies and~~
10 ~~reports is attached.~~

11 **II. PURPOSE AND SUMMARY OF TESTIMONY**

12 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?

13 A. I have been asked by American Communications Services, Inc.
14 (ACSI) to address the economic and ratemaking principles that
15 underlie the pricing of unbundled network elements.
16 Specifically, I have been asked to address the appropriate
17 methodology for pricing unbundled local loops, one that is
18 consistent with the Telecommunications Act of 1996 (1996 Act or
19 Act) and with the promotion of meaningful and effective
20 competition in the market for local exchange services. ACSI has
21 also asked me to address the principles underlying the

1 development of reciprocal compensation for mutual traffic
2 exchange.

3 Q. WHAT OBJECTIVES ARE IMPORTANT IN DETERMINING
4 THE APPROPRIATE RATES FOR NETWORK ELEMENTS?

5 A. The 1996 Act established a vehicle to allow meaningful and
6 effective competition to develop in the markets for local exchange
7 services. Currently in the telephone industry, competition does
8 not prevail. The incumbent local exchange carriers (ILECs),
9 including BellSouth Telecommunications, Inc. (BellSouth), still
10 hold a monopoly or near monopoly on most of their
11 telecommunications services and elements; thus, regulatory
12 oversight is still required to ensure the competitive outcome.
13 Where competition prevails, market forces naturally drive prices
14 toward cost and the result is economic efficiency. Hence, a key
15 objective of any pricing policy is to obtain the competitive
16 outcome.

17 Adherence to economic pricing principles is important in
18 achieving the competitive outcome. The methodology used to
19 determine the price ILECs charge for use of their facilities must
20 send the correct price signals, encourage the entry of efficient
21 competitors, promote efficient make-buy decisions, and allow

1 consumers to benefit from an increase in competitive activity,
2 including lower retail prices and a diversity of service choices.

3 Q. WHAT ARE YOUR RECOMMENDATIONS REGARDING
4 THE APPROPRIATE METHODOLOGY FOR DEVELOPING
5 RATES FOR UNBUNDLED ELEMENTS?

6 A. Prices in a competitive market are based on forward-looking,
7 market-oriented costs. To achieve this competitive market
8 outcome, prices for network elements should be developed based
9 on two criteria. The first is a measure of forward-looking, direct
10 costs. The total service long run incremental cost (TSLRIC)
11 method is, thus, an appropriate standard for achieving the desired
12 results. The second input is a mark-up over TSLRIC to permit
13 recovery of forward-looking, efficiently incurred joint and
14 common costs. As I describe below, I propose that this mark-up
15 not be based on the ILEC's accounting records, but rather limited
16 to what the ILEC elects by its own activities in competitive
17 markets. This is the best approach for ensuring the efficient level
18 of entry, efficient production of end use services, competitively
19 determined end use prices and the avoidance of anticompetitive
20 behavior by ILECs. Since the mark-up is limited to that which
21 does prevail in the ILECs' more competitive markets, it is
22 reasonable by market standards.

1 Under the 1996 Act, determinations by a state commission
2 of the rate for interconnection and network elements are just and
3 reasonable if the rate is based on cost (determined without
4 reference to a rate-of-return or other rate-based proceeding).¹
5 The rate may include a reasonable profit.² A TSLRIC-based rate
6 is a cost-based rate which is determined without reference to a
7 rate-or-return or other rate-based proceeding. A mark-up over
8 direct cost limited to a level determined by competitive market
9 forces permits a reasonable profit. Thus, the approach outlined
10 above is both economically sound and satisfies the pricing
11 standards of the Act.

12 In addition, the rates charged for network elements and
13 bundled services must be priced in a manner that prevents
14 uncompetitive price squeeze. Price squeeze occurs whenever the
15 combined price of the unbundled components and bottleneck
16 services (such as number portability and directory assistance)
17 equals or exceeds the price of the bundled function to the end
18 user. While price squeeze is a matter of competitive concern,
19 pricing of bundled services and functions is not addressed in this
20 testimony.

21 ¹ Section 252(d)(1)(A).

22 ² Section 252(d)(1)(B).

1 In summary, this approach is consistent with the FCC's
2 ruling on interconnection interpreting Section 252(d)(1) of the
3 1996 Act. As of this writing, the FCC order in Docket No. 96-
4 98 is not available. However, the press release issued on August
5 1, 1996 states that the FCC has ruled that a cost-based pricing
6 methodology based on forward-looking economic costs
7 (specifically TSLRIC) is most consistent with the goals of the
8 Act. Because the TSLRIC studies are for network elements, the
9 FCC calls them Total Element Long Run Incremental Costs
10 (TELRIC). Under the Order, prices are to be set at TELRIC
11 plus a "reasonable share of forward-looking joint and common
12 costs" (p. 2). Section IV of my testimony discusses the mark-up
13 in greater detail.

14 **Q. HOW IS YOUR ANALYSIS AND RECOMMENDATION**
15 **AFFECTED BY THE FCC'S RECENTLY ANNOUNCED**
16 **DECISION IN ITS DOCKET 96-98?**

17 **A. The FCC's press release made clear that it has taken two actions**
18 **with respect to the pricing of unbundled network elements. First,**
19 **the FCC required that arbitrated rates be based on TELRICs. In**
20 **addition, the FCC established default proxies to be used on an**
21 **interim basis absent the necessary TELRIC cost information.**
22 **Naturally, both of these actions are directly relevant to my**

1 analysis and testimony. I intend to revise and update my
2 testimony, as appropriate, after I review the FCC decision and
3 any BellSouth TELRIC/TSLRIC and other relevant data
4 provided.

5 Q. WHAT RATES DO YOU RECOMMEND FOR UNBUNDLED
6 LOOPS?

7 A. BellSouth did not provide cost studies to ACSI during
8 negotiations. Therefore, BellSouth's version of TELRIC or
9 TSLRIC for network elements and data necessary to develop a
10 cost-based, competitive mark-up are not available. In the
11 absence of such data, I recommend using the best cost
12 information currently available to the extent it is also consistent
13 with the approach outlined above.

14 Q. WHAT IS THE BEST COST-BASED ALTERNATIVE
15 AVAILABLE?

16 A. The best TSLRIC alternative (at this time) for estimating
17 reasonable TSLRIC data uses the updated Hatfield Model.³ This
18 model produces TSLRIC data by population density zone (six
19 density zones) for each state. The model is forward looking and
20 takes into consideration population demographics, geology,

21 ³ Version 2.2, Release 1, by Hatfield Associates, Inc., dated May 30, 1996, is
22 the most current version available at this time, although it is my understanding
23 that an update is due shortly.

1 network architecture and technology. The cost estimates for the
2 areas to be served by ACSI are provided in Exhibit D of ACSI's
3 Petition. BellSouth has not provided cost studies which could be
4 used to determine or evaluate TSLRIC estimates or a competitive
5 mark-up. In the absence of BellSouth sponsored TELRIC studies
6 completed within two months, I recommend setting interim rates
7 based on the TSLRIC estimates developed in the Hatfield Model.
8 Further, the Commission should order BellSouth to provide the
9 information necessary to estimate the mark-up on BellSouth's
10 more competitive services and to provide BellSouth cost studies
11 or other data which the Commission determines to be necessary
12 to evaluate and verify the Model's TSLRIC estimates. The
13 interim rates should remain in effect until BellSouth's
14 TELRIC-cost-based rates are effective, which should occur no
15 later than six months from now.

16 Q. HOW IS THE REMAINDER OF YOUR TESTIMONY
17 STRUCTURED?

18 A. In Section III, I discuss the economic efficiency goals and explain
19 the role of pricing in achieving those goals. Section IV discusses
20 the appropriate cost-based pricing methodology for achieving the
21 competitive outcome and explains why a TSLRIC methodology
22 best satisfies the criteria for efficient pricing. BellSouth has not

1 provided any cost studies or estimates of cost. Section V
2 compares the theoretical pricing methodology discussed in
3 Section VI with the proxy cost model developed by Hatfield
4 Associates, Inc. to estimate TSLRIC for network elements.

5 **III. EFFICIENCY GOALS**

6 Q. WHAT OBJECTIVES ARE IMPORTANT IN DETERMINING
7 THE APPROPRIATE PRICES FOR NETWORK ELEMENTS?

8 A. A key objective of the 1996 Act is a structure that allows the
9 entry of both facilities-based and resale carriers into the local
10 service market to promote effective competition. The pricing of
11 unbundled network elements is one of the critical components of
12 any open market policy, as reflected in new Sections 251(c)(3)
13 and 252(d)(1) of the Communications Act of 1934 (the Act)
14 adopted by the 1996 Act. With this in mind, the goal should be
15 to structure a competitive outcome. A competitive outcome
16 requires efficiency in production and pricing. Efficient pricing,
17 in turn, requires that price reflect the cost of the good or service
18 in question which means that rational choices by producers and
19 consumers are encouraged. Production, entry and consumption
20 decisions are each influenced by pricing, or at least potentially
21 so. Only when prices reflect costs will the market yield the
22 optimal quantity or combination of those goods and services

1 valued by society at the minimum resource cost to society.
2 Adherence to economic costing principles is important in
3 achieving the competitive outcome and requires the use of
4 reasonable, accurate measures of cost.

5 Q. WHAT EFFICIENCY RESULTS CAN BE ANTICIPATED
6 FROM A PRICING POLICY CONSISTENT WITH
7 COMPETITIVELY FUNCTIONING MARKETS?

8 A. In a market structured so that no one firm can dictate price or
9 quantity, the market yields important efficiencies. Relevant
10 aspects of these efficiencies are referred to as operational and
11 allocative.

12 Operational efficiencies result when the lowest cost
13 method of production is selected. Competition acts to ensure this
14 result, as entry and exit occur freely. New entrants are not
15 required to use the same technology as does the incumbent, but
16 are free to select among all available technologies and adopt
17 lower cost methods of production. As market price is often
18 forced downward with an increase in supply and, in particular,
19 with an increase in lower cost supply, incumbents are forced to
20 become more efficient, lose market share or cease production
21 altogether.

1 Allocative efficiencies result when resources are
2 channeled into the production of those goods and services that are
3 valued more highly than are the resources consumed in the
4 production process. As long as market price covers the
5 additional cost of production, the unit will be produced in a
6 competitive market. Since resources are limited, it is in society's
7 interest that resources are used in a manner that maximizes the
8 value of that produced from those resources. A competitive
9 market allocates resources efficiently, i.e., to the goods and
10 services valued most highly.

11 Q. WILL THE EFFICIENCIES JUST DESCRIBED INURE TO
12 THE BENEFIT OF CONSUMERS?

13 A. There is no question that meaningful competition will create
14 benefits for consumers. What is less clear, unfortunately, is
15 when or even whether the successful emergence of competition
16 can be expected in the various markets for local services. There
17 are generally two factors to consider.

18 First, it must be recognized that properties which allow
19 the ILECs' monopoly control to remain may delay the
20 competitive entry for some network elements. The Commission
21 should establish rates to allow the benefits of a competitive
22 outcome to be realized by consumers well before full facilities-

1 based competition emerges for all elements and in all areas of the
2 local service market. Otherwise, the benefits of competition
3 could be delayed indefinitely given the tremendous practical and
4 economic obstacles with replicating more than a negligible
5 portion of the incumbent LEC's network.

6 Second, the Commission pricing rules must guard against
7 anticompetitive pricing behavior by the ILEC. This is assured if
8 a competitive norm or competitive outcome serves as the basis
9 for pricing all non-competitive network elements. For instance,
10 if the competitive outcome is emulated, the relationship between
11 price and cost will be the same for competitive and non-
12 competitive elements alike. Further, through the application of
13 nondiscrimination obligations and imputation principles, the
14 ILEC will "pay" the same for all non-competitive network
15 elements set by tariff or arbitration as its competitors. Under
16 these conditions, price squeezes and other forms of
17 anti-competitive conduct will be deterred.

18 In short, the pricing policy designed to promote
19 competition must recognize that competition is not likely to
20 evolve evenly or with equal success for all network elements or
21 in all areas of the state. The policy should be designed to
22 provide the benefits of competition in the end use market to

1 consumers, even before the successful emergence of that
2 competition. In fact, the policy should be structured to create
3 these benefits in the end use market for consumers, even if
4 competition for each network element never emerges.

5 Q. WHY IS A TOTAL SERVICE LONG RUN INCREMENTAL
6 COST METHODOLOGY BETTER SUITED THAN OTHER
7 COSTING METHODOLOGIES TO PROMOTING
8 COMPETITION?

9 A. Prices should be set to recover incremental, forward-looking
10 costs, not the firm's historically incurred embedded costs or
11 revenue requirements. Pricing based on TSLRIC results in
12 several market benefits. First, entrants have a continuous stream
13 of make-buy decisions. Prices based on forward-looking cost
14 will provide the correct signal on which to base decisions
15 regarding facilities based investment and market entry. Second,
16 cost-based pricing identifies the low cost supplier in any market,
17 affecting decisions among alternative providers of a given
18 product or service. Finally, cost-based prices permit efficient
19 decisions in choosing among different goods.

20 Pricing based on embedded costs or revenue requirements
21 cannot provide these benefits. Further, such pricing requires that
22 the firm has -- and that it exercises -- a certain degree of market

1 power. Market power permits the ILEC to engage in
2 anticompetitive conduct by allocating costs to non-competitive
3 network elements. This will provide a "cost basis" to raise the
4 prices for those non-competitive network elements, removing the
5 need to recover these costs from competitive network elements.

6 Q. TO WHAT EXTENT IS UNBUNDLING OF NETWORK
7 ELEMENTS NECESSARY FOR THE EFFICIENCY GOALS
8 TO BE MET?

9 A. Without the availability of unbundled network elements, entry
10 into the local exchange market is severely restricted and in some
11 circumstances would be impossible. It is for this reason that the
12 Act specifically requires incumbents to provide nondiscriminatory
13 access to network elements on an unbundled basis at any
14 technically feasible point.⁴ Further, to facilitate competition,
15 network elements must be available in a manner such that new
16 entrants are not forced to take and pay for elements that are not
17 needed by that entrant in the provision of the local service, and
18 are not denied access to key elements needed to ensure quality
19 provision on a par with the ILEC's services. If new entrants are
20 forced to buy unneeded elements in order to get others (if
21 elements are not sufficiently unbundled), they will incur

22 ⁴ Section 251(c)(3).

1 unnecessary costs which will deter efficient entry. Similarly, if
2 access is denied to certain elements needed to ensure equal
3 quality service, efficient entry will be deterred. The Act not only
4 requires access to unbundled elements, it requires that unbundled
5 elements be available in a manner that allows requesting carriers
6 to choose the desired combination of those elements to provide
7 the services they choose to the extent technically feasible.⁵

8 The network elements at issue in this arbitration are
9 loops. The loop is the component of local service, i.e., the
10 circuit or channel, by which the LEC provides transport between
11 the end user premise and the LEC wire center. These
12 communications channels or circuits may be provided as 2-wire
13 or 4-wire copper pairs, as radio frequencies or as channels on a
14 high-capacity feeder/distribution facility.

15 Further unbundling, for example, unbundling at the sub-
16 loop level, is technically feasible, albeit ACSI is not asking for
17 such further unbundling at this time. The FCC has concluded
18 that unbundling of local loops is feasible⁶ and that, tentatively,
19 further unbundling of the local loop should be required.⁷ In

20 ⁵ Ibid.

21 ⁶ Press Release, August 1, 1996. The Commission identified a minimum of
22 seven network elements, including the local loop.

23 ⁷ Notice of Proposed Rulemaking, CC Docket No. 96-98, ¶97.

1 addition, the FCC has identified local and tandem switches
2 (including all software features provided by switches) as one of
3 seven separate unbundled network elements; and, apparently, left
4 additional unbundling requirements up to the states.⁸

5 Competition is enhanced by allowing the degree of unbundling
6 requested by ACSI.

7 Q. DOES COMPETITION REQUIRE THE AVAILABILITY OF
8 UNBUNDLED LOOPS AT COST-BASED RATES?

9 A. Yes. Physical replication of the loop by facilities-based carriers
10 could not occur in the relatively near future; such massive
11 investment would take time, if it occurred at all. Currently,
12 BellSouth has a virtual monopoly on loop elements, which, in
13 turn, are necessary for facilities-based competition to occur.
14 Without access to the unbundled loop, and specifically access at
15 economically feasible rates, entry will not occur and the objective
16 of promoting efficient facilities-based entry will not be met.
17 Lack of access to unbundled loops at cost-based rates would
18 perpetuate the entry barriers in the local exchange market. Such
19 entry barriers are inefficient from an economic perspective and
20 clearly inconsistent with the 1996 Act.

21 **IV. APPROPRIATE METHODOLOGY FOR**

22 ⁸ Press Release, August 1, 1996.

PRICING UNBUNDLED ELEMENTS

1
2 Q. WHAT IS THE APPROPRIATE METHODOLOGY FOR
3 ACHIEVING THE EFFICIENCY GOALS DESCRIBED IN
4 SECTION III OF YOUR TESTIMONY?

5 A. Rates based on a TSLRIC methodology give the appropriate
6 signals to carriers and consumers, ensure efficient entry into the
7 market, and promote efficient utilization of the
8 telecommunications network. As pointed out above (Section III),
9 in a competitive market, prices are driven toward market-
10 oriented, incremental costs over the long term. Thus, the rates
11 for unbundled network elements should be based on a long run
12 incremental cost methodology. TSLRIC is just such a cost
13 methodology.

14 Q. WHAT IS MEANT BY TSLRIC?

15 A. As the FCC in its Notice of Proposed Rulemaking⁹ points out,
16 parties sometimes assign (or appear to assign) different meanings
17 to the term TSLRIC. Generally, however, the TSLRIC of an
18 unbundled network element is the sum of the costs added (or
19 avoided) by a decision to supply (discontinue) all of the demand
20 for an element, assuming that the carrier continued to provide its
21 other network elements, services and functionalities.

22 ⁹ CC Docket No. 96-98, in the matter of Implementation of the Local
23 Competition Provisions in the Telecommunications Act of 1996.

1 A number of states have adopted this approach as the
2 standard for costing local service and network elements.¹⁰ In
3 some instances, this same costing approach has been adopted,
4 though a different name is used. For instance, the Illinois
5 Commission has adopted this type of costing approach, referring
6 to it as Long Run Service Incremental Cost, or LRSIC.¹¹ Some,
7 including the FCC, have suggested that when applying the
8 principle to network elements rather than services, it should be
9 described as the Total Element Long Run Incremental Cost, or
10 TELRIC.¹² This rose may go by several other names.

11 **Q. WHY IS TSLRIC THE PROPER MEASURE OF THE COST**
12 **OF NETWORK ELEMENTS?**

13 **A. Using TSLRIC will result in prices for network elements**
14 **reflecting forward-looking, efficiently incurred costs. It is**
15 **appropriate that the TSLRIC be forward looking. Efficient**
16 **decisions regarding market entry, exit and expansion are based**
17 **on forward-looking comparisons of expected revenues and**

18 ¹⁰ Notice of Proposed Rulemaking, FCC 96-182, CC Docket No. 96-98,
19 paragraph 127.

20 ¹¹ Ibid.

21 ¹² As noted above, the FCC has used the TELRIC terminology in describing a
22 TSLRIC methodology applied to unbundled network elements in the Press
23 Release dated August 1, 1996.

1 expected costs. For correct price signals to promote efficient
2 market activity, forward-looking costs should be used.

3 The appropriate cost study is long run in nature, i.e., it is
4 based on a time horizon long enough to allow entry or exit to
5 occur and/or for substantial changes in capacity or technology to
6 occur. All costs affected by any of these decisions (entry, exit,
7 capacity expansion or technology adoption) are variable. A
8 properly structured incremental cost study should therefore
9 include forward-looking capital costs, and the preponderance of
10 all expenses should be viewed as variable, i.e., joint and common
11 costs should amount to a relatively small fraction of total costs.

12 The relevant increment of demand to estimate network
13 element costs is the total demand by all users, including the
14 incumbent. Hence, the "total service" (or total element)
15 designation. ILECs realize economies of scale. Focusing on any
16 volume of output smaller than the total volume realized may
17 result in higher per unit costs than are actually realized.

18 Further, the incremental cost calculation is intended to
19 capture the added cost from producing or the cost avoided from
20 discontinuing the service, assuming all other ILEC outputs
21 remain unchanged. The incremental cost of a port is calculated
22 assuming no change in the volume of loops, and the incremental

1 cost of loops is calculated assuming no change in the volume of
2 ports. Since all else is held constant, the calculations focus
3 exclusively on the cost of the unbundled network element.

4 Q. PLEASE EXPLAIN THE ECONOMIC CIRCUMSTANCES
5 WHICH GOVERN THE NEED FOR A MARK-UP OVER
6 DIRECT COSTS.

7 A. In economic terms, when a firm is characterized by economies of
8 scale or scope, its cost structure is such that incremental costs
9 will generally be less than average costs. Thus, even in a highly
10 competitive market, the price charged by firms with this cost
11 structure will exceed the marginal or incremental costs, if the
12 firm is to recover its costs in total, i.e., if the firm is to remain in
13 business. It is generally accepted that the telephone industry is
14 characterized by scale and scope economies. This will lead to
15 various costs being joint and common. Therefore, the total costs
16 of the firm operating in this industry will exceed the direct costs,
17 and the rates charged must generally exceed the sum of the direct
18 costs. This is true whether the services or network elements in
19 question are competitive or monopolistic.

20 Q. WHY IS A LIMIT TO THE MARK-UP APPLIED TO
21 NETWORK ELEMENTS APPROPRIATE?

1 A. There are at least four reasons why a limit to the mark-up should
2 be applied. First, by applying the competitive mark-up to all
3 elements, non-competitive elements are treated as if they were
4 competitive. This allows the benefits of competition to be
5 realized even before actual competition emerges. This also keeps
6 the ILEC from using revenues from non-competitive elements to
7 finance strategic pricing responses in competitive markets.

8 Second, this produces non-discriminatory rates, consistent
9 with the requirements of the Act. Sections 251 and 252 require
10 that rates for interconnection and network elements be cost-based
11 and non-discriminatory. Discrimination results whenever price
12 differentials are not cost-based, that is, whenever mark-ups
13 differ.

14 Third, by not limiting the mark-up, the ILEC is able to
15 recover a large, if not virtually unlimited, volume of shared and
16 common costs in prices charged for monopoly elements. As
17 such, it has no incentive to accurately classify costs as direct as
18 opposed to shared or common in TSLRIC studies.
19 Misclassifying costs as shared or common will reduce price
20 floors and maximize pricing flexibility, improving the ILEC's
21 position in competitive markets without any change in the level of
22 costs incurred. On the other hand, if the extent to which

1 monopoly service elements can bear a mark-up is limited, there is
2 less opportunity to recover these costs through pricing of
3 monopoly services and there is less incentive to misassign these
4 costs as shared or common. To be sure, the ILEC can still
5 misassign costs and can still reduce prices selectively. However,
6 the ability to recover the costs misassigned is substantially limited
7 and, therefore, the incentive to do so is reduced. The result is a
8 general incentive to increase the proportion of costs subject to
9 direct attribution. Further, putting shared and common costs at
10 risk by limiting the mark-up will also provide the ILEC with
11 greater operational incentives to minimize these shared and
12 common costs.

13 Finally, this will limit the prices that ILEC can charge
14 competitors. The ILEC has a clear incentive to charge
15 competitors high prices. High prices provide a financial
16 advantage to ILECs by increasing their margins relative to their
17 competitors. Limiting the mark-up to the competitive norm
18 establishes a reasonable mark-up, while minimizing
19 overcharging.

20 Q. HOW DO YOU PROPOSE THAT THE RELEVANT MARK-
21 UP FOR NETWORK ELEMENTS BE ESTABLISHED?

1 A. A mark-up over direct costs is appropriate to recover forward-
2 looking joint and common costs. Since a competitive
3 environment would limit the mark-up to a level needed to fully
4 recover only efficiently incurred, forward-looking joint and
5 common costs, it would be reasonable that the mark-up be
6 limited to (1) an amount no greater than the ratio of efficiently
7 incurred joint and common costs to direct costs, or (2) that
8 realized on BellSouth's competitive services, whichever is lower.
9 To do otherwise will allow the ILEC to recover monopoly rents
10 by overpricing these essential, monopoly network elements.

11 A primary issue with regard to the provision of network
12 elements is the "make-buy" decision. Many of the potential
13 entrants have the option of either functioning as a reseller (buying
14 unbundled components from the LECs) or, alternatively,
15 becoming a facilities-based provider (using their own network).
16 Setting the mark-up at other than what would be expected to exist
17 in a competitive market could well result in incorrect price
18 signals and inefficient investment. Because the goal, however, is
19 to promote efficient entry through proper pricing policy,
20 restricting that mark-up to the competitive market norm, appears
21 to be an appropriate economic and regulatory policy.

1 Q. HOW WOULD THE MARK-UP ON COMPETITIVE
2 SERVICES BE DETERMINED OR MEASURED?

3 A. The purpose of the mark-up is to capture the competitive
4 outcome in the pricing of network elements. By mark-up, I mean
5 the difference between the rate charged for an element (or
6 service) and the TSLRIC of the element (or service). The
7 determination of a mark-up should be based on comparable,
8 competitive transactions and it must recognize that the tariff rate
9 is not always the relevant figure to use.

10 BellSouth's services are subject to various degrees of
11 market competition. The intent here is to identify the mark-up
12 consistent with an actively competitive market. Consequently,
13 the focus should be on those elements or services provided by
14 BellSouth that are subject to more competition, rather than an
15 average of all services provided. Services subject to a greater
16 degree of competition (than basic local exchange or even MTS
17 services) include, for example, Centrex, and 800 service.

18 Further, it must be recognized that rates established
19 historically have been designed to allow BellSouth to fully
20 recover its revenue requirement. Rates for many of the services
21 that are less elastic have been set at levels necessary to
22 accomplish this recovery. If competition successfully emerges in

1 these markets, rates for many of these services are likely to fall.
2 Consequently, in the interest of capturing a competitively
3 inspired mark-up, it is inappropriate to take the average of all
4 services, but instead the focus should be on competitive market
5 operations and the market pricing of BellSouth's more
6 competitive activities, i.e., on the revenues realized under
7 specific market-type contracts negotiated by BellSouth.

8 Q. YOU INDICATED THAT TARIFFS MAY NOT ALWAYS BE
9 THE RELEVANT SOURCE OF PRICING INFORMATION.
10 WHY IS THAT?

11 A. The ILECs typically have had contracting capability for some
12 time now. This allows an ILEC to price off-tariff in especially
13 competitive market conditions. With this, rates covered by
14 contracts can be at discounts off of the tariffed rate.

15 Q. IS THERE ANY EVIDENCE ON THE EXTENT OF THE
16 MARK-UP NECESSARY TO RECOVER EFFICIENTLY
17 INCURRED JOINT AND COMMON COSTS?

18 A. While none has been presented by BellSouth in the context of
19 negotiations, other available data point to a mark-up in the 10-15
20 percent range. However, an analysis of BellSouth's data would
21 be needed to determine the appropriate mark-up for BellSouth.

1 Q. ON WHAT DO YOU BASE THE INFORMATION
2 REGARDING OTHER AVAILABLE DATA?

3 A. I have performed an analysis of the more competitive contracts
4 for two ILECs in California. An analysis of contracts entered
5 into by GTE and Pacific Bell in California for their competitive
6 Centrex offering points to mark-ups of up to 15 percent.
7 Comparing the Centrex contract revenues with Pacific Bell's
8 estimate of TSLRIC (as filed with the California Commission in
9 the cost study proceedings) provides a median mark-up of
10 approximately 15 percent. The mark-ups obtained by GTE were
11 generally lower.¹³

12 Q. DOESN'T ALLOWING A MARK-UP ON ESSENTIAL
13 MONOPOLY ELEMENTS PROVIDE BellSouth AN
14 ADVANTAGE OVER ANY ENTRANT THAT MUST TAKE
15 SERVICE FROM BellSouth TO COMPETE?

16 A. In part, it may. The mark-up provides BellSouth a cash flow
17 from any profit that may be realized. On the other hand, it is for
18 reasons such as this that I am suggesting that the mark-up be
19 restricted to no more than a competitively determined level. In
20 this manner, whatever profit realized is no more than what could
21 be expected from a competitive activity.

22 ¹³ R.93-04-003, I.93-04-002, Rebuttal Testimony of Dr. Marvin H. Kahn
23 (Revised), July 25, 1996, Tables III and IV.

1 Q. IS YOUR PROPOSED APPROACH TO PRICING NETWORK
2 ELEMENTS CONSISTENT WITH THE 1996 ACT?

3 A. Yes. Section 251(c)(3) requires that incumbent LECs provide
4 "non-discriminatory access to network elements on an unbundled
5 basis ... on rates, terms and conditions that are just, reasonable
6 and non-discriminatory." Section 252(d)(1)(B) provides that
7 determinations by a state commission are just and reasonable if
8 those rates are:

- 9 (i) based on the cost (determined without reference to a rate-of-
10 return or other rate-based proceeding) of providing the
11 interconnection or network element (whichever is applicable);
12 (ii) nondiscriminatory; and
13 (iii) may include a reasonable profit.

14 These conditions clearly proscribe the use of the embedded or fully-
15 allocated cost methodology of traditional regulation, which is based on
16 the historical and actual costs incurred, in setting cost-based rates for
17 network elements. A long-run incremental cost methodology does not
18 rely on historical, embedded costs and is, therefore, consistent with the
19 Act. In addition, rates based on a competitive mark-up are
20 nondiscriminatory; reassured by Section 252(i) of the Act which requires
21 an ILEC to make available any interconnection, service or network
22 element provided under any agreement approved by a state commission

1 on the same terms and conditions. With my proposal, competitive and
2 non-competitive elements are each priced according to identical
3 standards.

4 Q. UNDER SECTION 252(d)(1)(B) OF THE ACT, A COST-BASED
5 RATE FOR NETWORK ELEMENTS MAY INCLUDE A
6 REASONABLE PROFIT. IS YOUR APPROACH CONSISTENT
7 WITH THIS PROVISION?

8 A. Yes. The Act does not define "reasonable profit." However, few
9 would disagree that a mark-up over direct costs equal to that which
10 would prevail in a competitive market is reasonable. In a competitive
11 market, the achievable mark-up over cost will be disciplined by
12 competition in the market and held to a reasonable level. Attempts to
13 maintain excessive mark-ups over price will invite entry into a competi-
14 tive market, driving prices down and reducing mark-ups or profits to
15 what economists sometimes call a normal level. Restricting the mark-up
16 on monopoly elements to a competitive level ensures that the element
17 will earn only a normal profit and that the mark-up will not exceed a
18 reasonable level.

19 Q. IS A LONG RUN INCREMENTAL COST APPROACH
20 CONSISTENT WITH THE FCC ORDER ON INTERCONNECTION?

21 A. Yes. The FCC press release regarding Docket No. 96-98 indicates that
22 the FCC has adopted a TSLRIC or long run incremental cost-based

1 methodology. The FCC's press release uses the term "Total Element
2 Long Run Incremental Cost," instead of Total Service Long Run
3 Incremental Cost, but the methodology is the forward-looking,
4 incremental cost methodology of TSLRIC.¹⁴

5 Q. WHAT ARE NON-RECURRING CHARGES?

6 A. Non-recurring charges (NRCs) are the charges which an ILEC assesses
7 to recover the one-time or non-recurring costs associated with
8 establishing, moving and/or changing the service received by a particular
9 customer. Typically, NRCs consist of multiple elements which include
10 charges for activities such as service orders, central office line
11 connections and premise visits.

12 Q. HOW SHOULD THE NON-RECURRING COSTS ASSOCIATED
13 WITH ESTABLISHING, MOVING OR CHANGING THE SERVICE
14 RECEIVED BY A CUSTOMER OF ACSI OR ANOTHER
15 COMPETITOR BE RECOVERED BY BellSouth?

16 A. The NRCs which BellSouth is allowed to charge ACSI to establish,
17 move, or change service for a customer of ACSI should not exceed the
18 charges which would apply if BellSouth was establishing, moving or
19 changing service for a customer which it was serving directly.

20 Moreover, the NRCs assessed should be limited to only the charges

21 ¹⁴ FCC, NEWS, Report No. DC 96-75, Action In Docket Case, August 1,
22 1996.

1 applicable to those activities specifically required by ACSI or another
2 competitor.

3 Q. CAN YOU PROVIDE EXAMPLES OF THE TYPES OF NRCS
4 WHICH SHOULD APPLY BASED ON NRCS ASSESSED TODAY?

5 A. Yes. One example of a situation where BellSouth would assess NRCS
6 today would involve the situation where ACSI requests that service be
7 established to a new customer which is not currently served by
8 BellSouth. In that case, ACSI is effectively acting as the customer's
9 agent and the NRCS which apply should be the same as those which
10 apply if the customer was connecting directly to BellSouth. This might
11 include service order and central office line connection or similar
12 charges. Of course, if ACSI will be responsible for activities at the
13 customer's premises, BellSouth should not be entitled to assess premise
14 visit charges for that purpose.

15 A second example of a situation where NRCS could apply would
16 involve an existing customer of BellSouth changing to a new location.
17 In this case, the only non-recurring costs involved would be those
18 associated with changing the cross-connect from BellSouth's switch to
19 ACSI's node. In situations such as this, the appropriate NRC would be
20 comparable to the NRC which applies when customers switch from
21 BellSouth to ACSI. If BellSouth does not have a specific NRC in place
22 for changing local service providers, an appropriate level for the NRC

1 would be the secondary service charge applicable to a new customer or a
2 customer move to a new location.

3 Q. YOU INDICATED PREVIOUSLY THAT THE NRCS ASSESSED TO
4 ACSI SHOULD NOT EXCEED THE CHARGES WHICH WOULD
5 APPLY IF THE ILEC WAS PERFORMING THE NON-RECURRING
6 ACTIVITY FOR ITS OWN DIRECT CUSTOMER. WOULD THAT
7 CHARGE NECESSARILY BE THE SAME THAT BellSouth
8 CHARGES ITS OWN CUSTOMER?

9 A. No. In developing their NRCs, ILECs often include the costs of sales
10 and marketing activities which are not directly attributable to
11 establishing service to a customer and setting up the necessary customer
12 records. Instead, these costs are associated with marketing additional
13 "value-added" services. ACSI and other competitors will be responsible
14 for and will incur their own costs to market value-added services to their
15 customers. Therefore, to the extent that costs for these types of sales
16 and marketing activities have been included in BellSouth's NRCs, ACSI
17 and other competitors should receive a discount to exclude these costs.

18 ~~Q. WHAT PRICING METHODOLOGY OR METHODOLOGIES ARE~~
19 ~~APPROPRIATE FOR ESTABLISHING TRANSPORT AND~~
20 ~~TERMINATION CHARGES?~~

21 ~~A. Under Section 252(d)(2) of the 1996 Act, the terms and conditions for~~
22 ~~transport and termination of traffic are just and reasonable if (1) they~~

1 provide for the mutual and reciprocal recovery of costs, and (2) costs are
2 determined on the basis of a reasonable approximation of the additional
3 costs of terminating calls. The Act does not preclude arrangements that
4 waive mutual recovery, such as bill-and-keep arrangements (Section
5 252(d)(2)(B)). Indeed, the FCC in its Docket 96-98 decision stated that
6 bill-and-keep is an appropriate reciprocal compensation mechanism
7 where traffic exchanged between the two carriers is balanced and
8 network architectures are symmetrical. As stated in the testimony of
9 Richard Robertson, ACSI expects traffic to be balanced.

10 Where a state commission chooses not to adopt bill-and-keep in an
11 arbitration, TSLRIC would be the appropriate costing methodology
12 under the Act for estimating such charges.

13 Both approaches -- bill and keep, and TSLRIC-based charges --
14 promote competition by ensuring that the ILECs, with their greater
15 market power, do not charge excessive rates for termination and
16 transportation. However, where traffic is balanced, bill-and-keep is
17 more efficient because it avoids the administrative costs associated with
18 traffic measurement.

19 Q. HAVE OTHER STATES ADOPTED BILL-AND-KEEP
20 ARRANGEMENTS?

21 A. Yes. Washington adopted bill-and-keep for reciprocal compensation as
22 an interim measure. Florida, California, Connecticut and Oregon have

~~also adopted bill-and-keep for specified periods of one to two (1-2)~~

~~years. Other states, such as Delaware, are considering bill-and-keep in the establishment of interim rules on local competition.~~

~~Q. IF THE COMMISSION DOES NOT ORDER A BILL-AND-KEEP ARRANGEMENT, HOW SHOULD COMPENSATION BE DETERMINED?~~

~~A. If the Commission does not order a bill-and-keep mechanism, it should require charges determined in accordance with TELRIC, as discussed above. Where TELRIC studies are not yet available, rates should be established using the default proxies established in the FCC's Interconnection Order. Specifically, the FCC set a range of 0.2 to 0.4 cents per minute where traffic is terminated at the end office, and an additional charge not to exceed 0.15 cents per minute where the traffic is terminated at the tandem. Appropriate rates, if the proxies must be used on an interim basis, are presented in Exhibit J. These were established using the results for end office and tandem switching from the Hatfield Model.~~

V. DEVELOPMENT OF COST-BASED RATES IN

THE ABSENCE OF BellSouth DATA

~~Q. HAS BellSouth PROVIDED TSLRIC STUDIES TO USE TO DEVELOP COST-BASED PRICES FOR UNBUNDLED NETWORK ELEMENTS?~~

1 A. No. BellSouth has not provided cost-studies which could be used to
2 determine reliable TSLRIC estimates. Thus, it was necessary to turn to
3 alternative sources of cost information to develop cost-based rates.

4 Q. WHAT SOURCE OF DATA DID YOU USE AS AN ALTERNATIVE?

5 A. I would use TSLRIC estimates developed by Hatfield Associates, Inc.
6 (Hatfield Model) to set rates for these elements on an interim basis. The
7 Hatfield Model is a widely known model of network costs. In addition,
8 the model is based on publicly available data, which allows it to be
9 subject to detailed review and analysis, and updated when appropriate.

10 Q. DOES THE HATFIELD MODEL PERMIT THE CALCULATION OF
11 TSLRICS THAT ARE CONSISTENT WITH YOUR PROPOSED
12 APPROACH?

13 A. Yes. The model uses a TSLRIC methodology that is forward-looking,
14 and includes the entire demand for each network element. The TSLRIC
15 measure used in the model is based on the costs of an efficient, cost-
16 minimizing entrant into the local service market.¹⁵ The model assumes
17 (1) a high quality network that incorporates copper distribution loops
18 with copper and fiber feeder, digital switching, SS7 signaling and all
19 fiber interoffice transport; (2) network capacity sufficient to serve all
20 narrow band switched and dedicated local demand, intraLATA toll and
21 access service demand in the region examined; and (3) the provision of

22 ¹⁵ That is, the costs of assets that are optimally configured, sized and operated.

1 all basic network elements needed for local service. In addition, the
 2 model reflects ILEC specific geographic and demographic differences
 3 that may affect cost. A summary of TSLRIC pricing rules and standards
 4 employed in the model is provided in Exhibit D of the ACSI Petition.

5 We relied upon Hatfield Version 2.2, Release 1. This is the most
 6 recent version of the model. The numeric results of the Hatfield Model
 7 Version 2.2,¹⁶ Release 1, most recently submitted to the FCC are also
 8 presented in Exhibit D.

9 Q. GENERALLY, HOW IS THE HATFIELD MODEL CONDUCTED?

10 A. The Hatfield Model (HM) is primarily an engineering model, which is
 11 used to design a local network subject to various rules and constraints.
 12 The network is designed to meet demands for local and toll services,
 13 including both switched and dedicated access. The end product of this
 14 analysis can be costs for individual services or, as is the case here, cost
 15 by network element.

16 The Hatfield Model is based in part on the Benchmark Cost Model
 17 (BCM). The BCM is a costing technique initially developed by two
 18 ILECs (NYNEX and ^{US West} BellSouth) in cooperation with two IXC's (MCI and
 19 Sprint). The purpose of the BCM was to estimate the cost of local
 20 service in greater detail, i.e., in smaller geographic areas, than had been
 21 done to date. The intent was to focus on geographic areas where costs

22 ¹⁶ Ex parte presentation of AT&T Corp. in FCC Docket No. 96-98, dated July
 23 3, 1996.

1 were fairly homogeneous across the entire area. Census block groups
2 were selected for this purpose.

3 One of the strengths of the Hatfield Model was its reliance on the
4 detailed census block data included in the BCM. This information can
5 be drawn upon to obtain cost estimates not only at the census block
6 group, but can also be aggregated to obtain cost estimates at the wire
7 center level, the LATA, the state, across regions and nationwide. In
8 addition, other aggregations, such as by "density zones" are also
9 possible. Finally, these data are based on census blocks nationwide,
10 which permits direct comparisons of costs across companies within a
11 state, as well as across states. The information presented in Version
12 2.2, Release 1 is based on BellSouth's operation and is displayed by
13 density zone.

14 Q. ARE THERE ANY CHARACTERISTICS SPECIFIC TO THE
15 HATFIELD MODEL THAT DISTINGUISH IT FROM ILEC
16 CONDUCTED TSLRIC STUDIES WITH WHICH YOU ARE
17 FAMILIAR?

18 A. Yes. As indicated, the Hatfield Model represents an attempt to construct
19 the cost of a local network for the provision of local and toll narrowband
20 services. In this manner, the model focuses on the minimum cost, most
21 efficient network for that limited purpose, rather than the cost incurred
22 based upon the infrastructure currently in place by the ILECs for

1 whatever combination of commercial interests may be driving that
2 entity.¹⁷ For instance, while the model assumes fiber facilities are used
3 in both the interoffice and feeder network, it is premised on only copper
4 facilities used in the loop distribution system.¹⁸ In this manner, the
5 costing procedures in the Hatfield Model do not require cost allocations
6 to deal with those network facilities which are not needed to provide
7 local service, but which are necessary to provide various strategic
8 services such as high-speed data or video.

9 The Hatfield Model is driven by current demand levels for local and
10 toll services. The network is sized to meet both local and toll
11 requirements for business and residential customers (including second
12 line residential demands), plus the growth of these services over time.
13 In this manner, a network is modeled that is efficiently sized to meet the
14 demands of these customers, but not the demands for other strategic
15 services whose evolvment is both risky and possibly distant. Spare
16 capacity is required in this analysis, but not to meet potential strategic
17 service demands.

18 As noted, the Hatfield Model draws from the BCM census block
19 data base. This sets it apart from the typical ILEC TSLRIC study,
20 which tends to be both state and purpose specific. By that, I mean that

21 ¹⁷ Hatfield Model, Version 2.2, Release 1, Documentation, May 16, 1996,
22 page 2.

23 ¹⁸ Id., page 3.

the cost studies are developed individually for each state and based upon the specific requirements at hand. Cost studies may be developed at the wire center level, at other times by exchange, or at other times utilizing statewide averages. Therefore, comparisons of costs across these studies, as well as across space and time, are most difficult. With the Hatfield Model, such comparisons are both possible and, in fact, are promoted by the study authors.

ts.

Q. THE HATFIELD MODEL HAS BEEN CRITICIZED AS PROVIDING INEFFICIENT OR INACCURATE ESTIMATES OF COSTS FOR LESS DENSELY POPULATED AREAS. HOW HAVE YOU DEALT WITH THIS?

n

A. For the purposes at hand, that criticism is not limiting.

One of the difficulties in any technique that draws on data that is widely applicable is that the accuracy of the analysis in any individual specific circumstance may be limited. The inaccuracies or inefficiencies of the calculation procedure are typically greatest the further one goes from the median, or average, of the distribution of outcomes. With regard to the data used in the Hatfield Model, the inaccuracies in the calculation procedure have been claimed to exist primarily with regard to cost estimates in census block groups with the lowest population densities. While there may be a large number of such census block groups, they tend to include but a small portion of the total number of

1 subscribers and therefore have a limited impact on the calculated results.
2 More importantly, for the purposes at hand, our data requirements do
3 not focus on the costs in these tail blocks of the distribution, but rather
4 for those geographic areas that are among the more densely populated.
5 Consequently, to the extent that the criticisms are accurate, they have
6 little impact on the cost information that we are drawing upon.

7 Q. HAVE YOU ANALYZED THE HATFIELD MODEL AND ITS
8 UNDERLYING ASSUMPTIONS?

9 A. Yes. At this juncture, I have reviewed the model and its assumptions in
10 order to gain a complete understanding of its construction and its
11 operations. In this manner, I have been able to identify the differences
12 between the Hatfield Model's approach to obtaining cost estimates and
13 those typically used by ILECs in their study procedures. As indicated
14 earlier, BellSouth has not provided any TSLRIC information to this
15 point. It is my expectation that such information will be forthcoming
16 and a detailed review of that analysis will be conducted.

17 Q. HOW CAN THE OUTPUTS OF THE HATFIELD MODEL BE USED
18 TO SET RATES FOR UNBUNDLED LOOPS AND PORTS?

19 A. The outputs of the Hatfield Model are TSLRIC estimates. These
20 estimates should be marked up by an appropriate factor for the recovery
21 of efficiently incurred shared and common costs. The appropriate mark-
22 up can be estimated either through a detailed examination of BellSouth's

1 costs or, alternatively, as I have suggested in Section IV, by assessing
2 the mark-up which BellSouth has elected in the context of pricing its
3 most competitive service offerings.

4 The difficulty faced by the Commission in either of these instances
5 is that the data necessary to construct the mark-up are within BellSouth's
6 control. Consequently, the ability to calculate this mark-up must await
7 the availability and the examination of those data. It is my
8 understanding that ACSI is seeking those data through discovery.

9 Q. IN THE EVENT THAT THE NECESSARY DATA TO
10 EFFICIENTLY ESTIMATE AN APPROPRIATE MARK-UP IS NOT
11 AVAILABLE, WHAT ARE YOUR RECOMMENDATIONS?

12 A. Since the information necessary is within the control of BellSouth, it is
13 my recommendation that a default mark-up be established that increases
14 the likelihood that the necessary information would become available.
15 Simply stated, I would recommend that no mark-up be established unless
16 or until the information necessary to construct the appropriate mark-up
17 has been made available for review.

18 Q. ARE THERE ANY ADDITIONAL ISSUES RELATED TO THE
19 HATFIELD MODEL WHICH SHOULD BE BROUGHT TO THE
20 ARBITER'S ATTENTION AT THIS TIME?

21 A. Yes, there is one. It should be noted that the Hatfield Model is being
22 updated and the results of this update will be available soon. When

1 those results are available, the information included in Exhibit D and
2 Exhibit H (ACSI's proposed rates) of ACSI's Petition will be updated.

3 Q. YOU NOTED THAT BellSouth DID NOT PROVIDE ITS TSLRIC
4 FOR YOUR REVIEW. IF THAT WERE TO BE MADE AVAILABLE
5 ON A TIMELY BASIS, WOULD YOU USE THE RESULTS OF
6 THAT ANALYSIS IN PLACE OF THE HATFIELD MODEL?

7 A. That is not clear. It is my understanding that ACSI is requesting copies
8 of BellSouth's TSLRIC studies. Upon receipt of that cost study
9 information on a timely basis, it will be reviewed and a decision will be
10 made as to its applicability in terms of establishing rates in this
11 proceeding. At that time, I will comment on whether this BellSouth's
12 study should be adopted, modified and adopted, or simply rejected. At
13 this juncture, I offer no observation.

14 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

15 A. Yes, it does.

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2

3 SUPPLEMENTAL TESTIMONY OF DR. MARVIN H. KAHN

4

5 Q. PLEASE STATE YOUR NAME, POSITION AND BUSINESS
6 ADDRESS.

7 A. My name is Marvin H. Kahn. I am a Senior Economist and a founding
8 principal of Exeter Associates, Inc. Our offices are located at 12510
9 Prosperity Drive, Silver Spring, Maryland 20904.

10 Q. ARE YOU THE SAME MARVIN H. KAHN WHO SUBMITTED
11 TESTIMONY ON BEHALF OF AMERICAN COMMUNICATIONS
12 SERVICES, INC. (ACSI) IN THIS PROCEEDING?

13 A. Yes, I am.

14 Q. WHAT IS THE PURPOSE OF YOUR SUPPLEMENTAL
15 TESTIMONY?

16 A. At the time my original testimony was filed, the FCC had announced the
17 release of the First Report and Order¹ (FCC Order) implementing
18 Sections 251 and 252 of the Telecommunications Act of 1996 (Act).
19 Since then, I have had an opportunity to review the FCC Order and
20 assess the impact of the FCC's rulings on the recommendations of my
21 testimony. In general, the FCC's rulings fully support my

22 ¹First Report and Order, Released August 8, 1996, In the Matter of
23 Implementation of the Local Competition Provisions in the Telecommunications
24 Act of 1996, CC Docket No. 96-98.

1 recommendations in terms of the appropriate costing and pricing
2 methodologies to be used for unbundled loop elements. There are (two)
3 areas of my testimony which I believe should be clarified in terms of
4 overall consistency with the FCC Order.

5 The first area relates to the development of rates using the
6 total element long run incremental cost (TELRIC) costing methodology
7 and the FCC position on geographic deaveraging. The second area
8 relates to the FCC's prescribed mark-up over TELRIC and why that
9 ruling is consistent with the recommendations of my testimony. The
10 discussion of each relates the FCC's provisions to my recommendations.

11 TELRIC Costing Methodology

12 Q. PLEASE SUMMARIZE THE FCC'S RULING REGARDING THE
13 COSTING METHODOLOGY FOR PRICING UNBUNDLED LOOPS.

14 A. The FCC adopted specific requirements governing the methodology to
15 be used in developing cost-based rates for interconnection and unbundled
16 elements, including unbundled loops. The general pricing standard
17 requires that rates be established on the basis of a forward-looking
18 economic cost-based pricing methodology. The forward-looking
19 economic cost of an element is defined in the FCC Order as the sum of :

20
21 (1) the total element long-run incremental cost of the element
22 (TELRIC), and
23

1 (2) a reasonable allocation of forward-looking joint and common
2 costs.²

3 TELRIC is the forward-looking cost over the long run of the total
4 quantity of the facilities and functions that are directly attributable to, or
5 reasonably identifiable as incremental to, an element, given the
6 incumbent LEC's provision of other elements. TELRIC and the term
7 total service long run incremental cost (TSLRIC) are identical
8 conceptually. The term TELRIC is used by the FCC in applying the
9 concept to the pricing of network elements.

10 The FCC also required states to establish different rates for
11 unbundled loop elements in at least three defined geographic areas within
12 the state to reflect geographic cost differences.³ In the event that state
13 commissions do not have cost information available which meets the
14 forward-looking economic cost criteria, the FCC produced a statewide
15 average ceiling proxy at or below which unbundled loops can be priced
16 on an interim basis.

17 Q. ARE THE FCC'S RULINGS CONSISTENT WITH YOUR
18 CONCLUSIONS AND RECOMMENDATIONS?

19 A. Yes. I recommended that the appropriate costing methodology for
20 pricing unbundled elements is a TSLRIC approach. As noted above,
21 TSLRIC and the TELRIC approach promulgated by the FCC are

22 ²First Report and Order, Appendix B-Final Rules, §51.505(a).

23 ³*Id.*, §51.507(f).

1 methodologically the same. In addition, the FCC has mandated a
2 minimum of three cost-based density zones. ACSI did not have access
3 to the LEC's cost studies during negotiations. In the absence of LEC
4 sponsored forward-looking economic cost data using the TELRIC (or
5 TSLRIC) approach, I recommended using the best cost information
6 currently available to the extent that information was developed
7 consistent with the TSLRIC/TELRIC methodology. That alternative is
8 the updated Hatfield Model.⁴ This model produces data fully consistent
9 with the TSLRIC/TELRIC principles. The estimates are long run,
10 forward-looking, based on least cost available technology and reflect
11 cost causation. In addition, it provides data by density zone (six density
12 zones) for each state. Therefore, the Hatfield Model meets both the
13 TELRIC methodology requirement and the requirement that costs be
14 deaveraged geographically.

15 Q. YOU MENTIONED THE FCC PROXY CEILING. PLEASE
16 EXPLAIN WHAT THAT NUMBER IS AND HOW THE FCC
17 PROPOSED THAT THE NUMBER BE USED.

18 A. As noted, the FCC required that rates for unbundled elements must be
19 cost based. The FCC established proxy costs for specific network
20 elements to be used in the event that the necessary cost data are not yet
21 available. These proxies take the form of ranges or for some elements,
22 such as the loop, a ceiling. For purposes of determining whether

23 ⁴See Testimony of Marvin H. Kahn, pp. 8-9 and Section V.

1 deaveraged rates for unbundled loop elements comply with the proxy
2 cost ceiling, those actual, geographically deaveraged rates must be less
3 than or equal to the FCC proxy when combined on a weighted average
4 basis.⁵ States may set prices below these ceilings if the record before
5 them supports a lower price.⁶ The default proxies established by the
6 FCC serve merely as presumptive ceilings.

7 States may set rates above the price ceiling only if the state
8 commission has given full and fair effect to cost data based on the
9 methodology prescribed in the FCC Order, i.e., a properly structured
10 TELRIC.

11 Q. HOW DO THE COST ESTIMATES PRODUCED BY THE
12 HATFIELD MODEL COMPARE WITH THE FCC ESTABLISHED
13 PROXIES?

14 A. Yes. The Hatfield Model assigns a portion of joint and common costs to
15 each network element. Even with this, the Hatfield cost estimates are
16 below the FCC estimates. Attachment 1 provides a comparison of the
17 FCC proxy and the current Hatfield estimates on a statewide basis and
18 Hatfield estimates for 6 geographically deaveraged zones.

19 In addition, Attachment 1 displays Hatfield estimates for 3
20 geographically deaveraged density zones. These figures are based on the
21 weighted average of the combined zones. For simplicity, I combined the

22 ⁵First Report and Order, Appendix B-Final Rules, §51.513(b).

23 ⁶First Report and Order, ¶768.

1 two most dense, the two middle, and the two least dense zones in the
2 Hatfield Model. It may be appropriate in particular circumstances to
3 combine zones differently.

4 Q. IS THE MANNER IN WHICH THE HATFIELD MODEL
5 DEAVERAGES LOOP COST INFORMATION BEING UPDATED?

6 A. Yes. The current release of the Hatfield Model defines density zones
7 based upon households per square mile. However, the Hatfield Model is
8 expected to be rereleased shortly with zones defined by loop density. I
9 will be providing the revised Hatfield results to the commission as an
10 update to my testimony once they are available. The changes will not
11 affect the validity of the approach I recommend here, and will merely
12 reflect a refinement in the presentation.

13 Q. HAVE LECs PROVIDED COST INFORMATION ON A
14 GEOGRAPHICALLY DEAVERAGED BASIS?

15 A. No. ILECs are generally incorporating geographic deaveraging into
16 their unbundled loop cost elements only now, in response to the FCC
17 directive. In the event that the ILEC provides cost information that it
18 proposes the Commission rely on in establishing deaveraged rates, ACSI
19 reserves the opportunity to review and respond to such information and
20 supplement testimony, as appropriate.

21 Reasonable Allocation of Joint and Common Costs

22 Q. YOU ALSO MENTIONED THAT THE FCC RULES INCLUDE A
23 MARK-UP FOR JOINT AND COMMON COSTS IN THE

1 DETERMINATION OF FORWARD-LOOKING ECONOMIC COSTS.
2 WHAT CRITERIA HAS THE FCC ESTABLISHED FOR
3 DETERMINING THAT MARK-UP?

4 A. The FCC set two general criteria for the mark-up over TELRIC. First,
5 it required a mark-up to allow for the recovery of forward-looking joint
6 and common costs. At the same time, the FCC required that the mark-
7 up be consistent with the behavior in competitive markets (cite) and be
8 limited to a "reasonable allocation" of "forward-looking" costs.⁷
9 Forward-looking common costs are defined as economic costs efficiently
10 incurred in providing a group of elements or services (which may
11 include all elements or services offered by the LEC) that cannot be
12 attributed directly to an individual element or service.⁸ In determining
13 what is a "reasonable" allocation the FCC imposes two criteria on the
14 allocation of common costs.

- 15 (1) The sum of TELRIC plus the "reasonable" allocation of
16 common cost cannot exceed the stand-alone cost of
17 producing the element, and
18 (2) The sum of the allocations for all elements and services
19 (excluding retail costs) must equal the total forward-
20 looking common costs attributable to operating the
21 incumbent LEC's total network.

22 ⁷First Report and Order, ¶698.

23 ⁸*Id.*, Appendix B - Final Rules, §51.505(c)

1 One reasonable allocation method mentioned in the order is to
2 allocate common costs using a fixed allocator, such as a certain
3 percentage mark-up over the directly attributable forward-looking costs.
4 Another reasonable allocation method proposed by the FCC would be to
5 allocate only a relatively small share of common costs to certain critical
6 network elements, such as the local loop and collocation, since these are
7 facilities that are the most difficult for competitors to duplicate,⁹ i.e.,
8 those facing the greatest barriers to entry. An allocation of common
9 costs on that basis ensures that the price of network elements that are
10 subject to the least competition are not "artificially inflated by a large
11 allocation of common costs."¹⁰

12 **Q. WHAT IS YOUR RECOMMENDATION FOR ESTABLISHING THIS**
13 **MARK-UP OVER TELRIC?**

14 **A. In my testimony, I proposed that the Commission establish a mark-up**
15 **for unbundled local loops that is no greater than the mark-up which the**
16 **ILEC realizes on its competitive network services.**

17 **Q. IS YOUR PROPOSAL FOR A MARK-UP IN THE PRICING OF**
18 **UNBUNDLED LOOPS CONSISTENT WITH THE FCC'S RULINGS**
19 **IN CC DOCKET NO. 96-98?**

20 ⁹*Id.* ¶696. The FCC refers to facilities such as the loop as bottleneck
21 facilities in this paragraph.

22 ¹⁰*Id.*

1 A. Yes. In my testimony, I indicated that a mark-up over TSLRIC was
2 appropriate. For the reasons given in my testimony, the FCC required a
3 mark-up over incremental common costs. Second, the FCC limited the
4 mark-up to a 'reasonable level'. The mark-up proposed in my
5 testimony, which would be limited to the mark-up accepted by the ILEC
6 on its most competitive services, is consistent with the FCC mandated
7 limits. A mark-up limit (defined as) the voluntarily accepted return on
8 a competitive service is consistent with the criteria which limits the
9 allocation of common costs to that which could be earned on a stand
10 alone basis and restricts the total or "sum of the allocation" for all
11 elements to the total of forward-looking common costs less retail costs.

12
13 Q. **HAS ACSI SOUGHT THE INFORMATION BY WHICH A**
14 **COMPETITIVE MARKET MARK-UP CAN BE DETERMINED?**

15 A. Yes. Data on BellSouth's competitive contracts are being sought in data
16 requests.

17 Q. **IF THE INFORMATION TO DETERMINE COMPETITIVE MARK-**
18 **UPS IS NOT AVAILABLE, WHAT ALTERNATIVES ARE**
19 **AVAILABLE TO THE COMMISSION?**

20 A. The Commission may choose to rely on information from other
21 jurisdictions, such as Pennsylvania and California, where mark-ups of

1 approximately 15 percent have been identified.¹¹ Alternatively, the
2 Commission may select the Hatfield Model cost estimate, which includes
3 an allocation of common cost.

4 Q. DOES THIS COMPLETE YOUR SUPPLEMENTAL TESTIMONY?

5 A. Yes. It does.

6 ¹¹See R.93-04-003, I.93-04-002, Rebuttal Testimony of Dr. Marvin H. Kahn
7 (Revised), July 25, 1996, Tables III and IV and Opinion and Order, Short
8 Form, Application of MFS Intelenet of Pennsylvania, Inc., Docket No. A-
9 310203F0002, Application of TCG Pittsburg, Docket No. A-310213F0002;
10 Application of MCI Metro Access Transmission Services, Inc., Docket No. A-
11 310236F0002; and; and Application of Eastern Telelogic Corp. Docket No. A-
12 320258F0002, page 13.

1 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

2 DOCKET NO. 960916-TP

3 REBUTTAL TESTIMONY OF DR. MARVIN H. KAHN

4 Q. PLEASE STATE YOUR NAME.

5 A. My name is Marvin H. Kahn.

6 Q. ARE YOU THE SAME DR. KAHN THAT EARLIER PREPARED
7 DIRECT TESTIMONY AND SUPPLEMENTAL TESTIMONY THAT
8 WAS FILED ON BEHALF OF AMERICAN COMMUNICATIONS
9 SERVICES, INC.?

10 A. Yes, I am.

11 Q. WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?

12 A. In this rebuttal testimony, I am responding to the major issues raised in the
13 Direct Testimony filed on behalf of BellSouth Telecommunications, Inc.
14 (BellSouth). The testimony of BellSouth's witnesses, D. Daonne
15 Caldwell, Dr. Richard D. Emmerson, and Robert C. Scheye, set out the
16 Company's position on the pricing of unbundled network elements
17 pursuant to the Federal Telecommunications Act of 1996 (1996 Act). My
18 rebuttal focuses on these witnesses' views about how TELRIC¹ studies
19 relate to TSLRIC² studies, how forward-looking joint and common costs

20 ¹ Total Element Long Run Incremental Cost.

21 ² Total Service Long Run Incremental Cost.

1 should be identified and allocated, the consistency of Florida's loop rates
2 adopted in Docket No. 950984-TP (Order No. PSC-96-0444-FOF-TP)
3 with the pricing standards of the 1996 Act, in addition to other matters.

4 Q. PLEASE SUMMARIZE YOUR CONCLUSIONS.

5 A. BellSouth has not provided TELRIC and joint and common cost studies
6 which satisfy the criteria established in the Federal Communications
7 Commission's August 8, 1996, *Interconnection Order* (CC Docket No. 96-
8 98) for pricing unbundled elements. Once these studies are made
9 available, a time period of at least three weeks would be required to
10 properly evaluate and respond to the studies.

11 Messrs. Caldwell and Emmerson, however, take the position that
12 using TSLRIC as a basis for setting rates does not violate the FCC
13 mandates because TSLRIC will yield lower rates than TELRIC. There is
14 no *a priori* reason to believe that TSLRIC will yield lower rates than
15 TELRIC. In fact, as I show, the opposite is likely to be the case.

16 I also show that the BellSouth assertions with respect to the mark-
17 up of joint and common costs are inappropriate and inconsistent with the
18 requirements of the *Interconnection Order*.

19 Finally, I discuss why the \$17.00 interim loop rate authorized by
20 the Florida Public Service Commission (PSC) in Docket No. 950984-TP is
21 not an appropriate interim rate.

1 Q. HAS BELLSOUTH PERFORMED TELRIC STUDIES AND
2 PROVIDED THEM TO YOU FOR REVIEW?

3 A. No. As the FCC said repeatedly in its August 8, 1996, *Interconnection*
4 *Order* in Docket No. 96-98, the 1996 Act requires prices for unbundled
5 network elements to be set at TELRIC plus a reasonable allocation of
6 forward-looking joint and common costs. Thus, BellSouth must prepare
7 TELRIC studies which satisfy the FCC standards and conform to the
8 methodology promulgated in the *Interconnection Order* to support loop
9 rates. Once such studies are prepared, at least three weeks will be needed
10 to conduct an adequate review and response. If the studies are not
11 prepared sufficiently in advance of the deadline for completing this
12 arbitration, then interim rates based upon the best available cost
13 information consistent with the proxy ceilings established in the FCC's
14 *Interconnection Order* (i.e., the Hatfield Model) must be established.
15 Further, as I explained in my Supplemental Testimony filed on September
16 6, 1996, the "statewide" rate which must not exceed the FCC's proxy
17 ceiling is to represent a weighted average, based on rates in at least three
18 density-zones.

19 Q. HAS BELLSOUTH PROVIDED ACSI WITH ANY COST
20 INFORMATION REGARDING UNBUNDLED LOOPS AND
21 RELATED ELEMENTS?

1 A. No. BellSouth has stated that it will now provide ACSI with access to
2 LRIC³ and TSLRIC studies it has completed for unbundled loops (2-Wire
3 Analog, 4-Wire Analog, and 2-Wire ISDN Digital), all Unbundled Loop
4 Channelization Systems and Central Office Channel Interfaces. However,
5 ACSI has not been provided with any cost studies to date, and I have thus
6 not yet had a chance to review BellSouth's cost information. BellSouth's
7 witness states in his testimony (Caldwell p.3) that cost studies for other
8 loop types requested by ACSI and for the loop cross connect are not yet
9 completed. As a result, the comments contained herein necessarily are
10 then based upon the testimony of Messrs. Caldwell and Emmerson.

11 Q. WITH RESPECT TO THE COST STUDIES PRODUCED BY
12 BELL SOUTH TO DATE, DO THESE STUDIES FORM AN
13 ADEQUATE BASIS FOR PRICES THAT WOULD BE CONSISTENT
14 WITH THE 1996 ACT?

15 A. No. As stated earlier, under the *Interconnection Order* implementing the
16 interconnection and unbundling provisions of the 1996 Act, prices for
17 unbundled network elements must be set at TELRIC plus a reasonable
18 allocation of joint and common costs. In the absence of the appropriate
19 TELRIC information, rates are to be set at or below proxy rate ceilings
20 established by the FCC in its *Interconnection Order*. For Florida, this

21 ³ Long Run Incremental Costs.

1 proxy has been set at \$13.68. The FCC also required geographic
2 deaveraging, with rates based on at least three density zones.⁴ This rate
3 represents a weighted average. Because BellSouth has not performed
4 TELRIC cost studies, permanent rates cannot be established.

5 Q. WITNESSES CALDWELL AND EMMERSON SUGGEST THAT
6 TSLRIC IS NECESSARILY LOWER THAN TELRIC AND THAT
7 TSLRIC STUDIES CAN THEREFORE BE USED TO ESTABLISH
8 PERMANENT RATES FOR UNBUNDLED ELEMENTS. DO YOU
9 AGREE?

10 A. No. There are two major differences between TELRIC and TSLRIC that
11 prevent one from stating *a priori* that TELRIC is always higher. In fact,
12 the opposite is much more likely to be the case.

13 Q. WHAT ARE THE MAJOR DIFFERENCES BETWEEN TELRIC AND
14 TSLRIC?

15 A. First, all retail-related costs are eliminated in TELRIC studies because the
16 focus is the incremental cost of producing an unbundled element, *not a*
17 *service*. TSLRIC studies, by comparison, will include retail-related costs.
18 Because all retail activities are eliminated, TELRIC should never exceed
19 TSLRIC for that reason alone.

20 ⁴ As noted in my Supplemental Testimony filed on September 6, ACSI has
21 modified its original loop rate proposal to make it consistent with these
22 requirements.

1 Second, in its discussion of the TELRIC and TSLRIC
2 methodologies, the FCC states:

3 The costs of local loops and their associated line
4 cards in local switches, for example, are common
5 with respect to interstate access service and local
6 exchange service because once these facilities are
7 installed to provide one service they are able to
8 provide the other at no additional cost. By contrast,
9 the network elements, as we have defined them,
10 largely correspond to distinct network facilities.
11 *Therefore, the amount of joint and common costs*
12 *that must be allocated among separate offerings is*
13 *likely to be much smaller using a TELRIC*
14 *methodology rather than a TSLRIC approach that*
15 *measures the costs of conventional services.*
16

17 *Interconnection Order*, ¶ 678 (emphasis added). The FCC's finding does
18 not support Mr. Caldwell's and Mr. Emmerson's suggestion that a TSLRIC
19 rate is necessarily lower than a TELRIC rate.

20 In addition, there is no reason, as witnesses Caldwell and
21 Emmerson assume, that lower joint and common costs are necessarily
22 correlated with an increase in the *direct* costs of providing a network
23 element. Instead, because certain activities associated with the production
24 of services may be unnecessary in the production of elements, direct costs
25 will probably be reduced as well.

26 Q. WHAT IS YOUR OVERALL CONCLUSION ON THE
27 RELATIONSHIP OF TELRIC VS. TSLRIC?

28 A. There is no *a priori* reason to conclude that a TELRIC study would yield a
29 higher rate than a TSLRIC study. In fact, the opposite is more likely. The

1 only way to determine the relationship is to have both studies completed.
2 There is no theoretical relationship between them that allows for the
3 generalization made by BellSouth's witnesses, certainly none that can
4 assure that TELRIC will exceed TSLRIC as BellSouth suggests. If
5 anything, one would expect, as I have explained, that TELRIC is below
6 TSLRIC. Thus, until such time as BellSouth can complete TELRIC
7 studies, only interim rates consistent with the FCC's proxies can be
8 established.

9 Q. HOW IS THE REASONABLE ALLOCATION OF FORWARD-
10 LOOKING JOINT AND COMMON COSTS TO BE ESTABLISHED?

11 A. As I stated in my initial testimony, one appropriate way to set an *upper*
12 *bound* for the reasonable allocation of forward-looking joint and common
13 costs would be to determine what allocations BellSouth itself has accepted
14 in setting prices for services that have experienced some measure of actual
15 competition. Such services include Centrex, PBX trunk service, and
16 special access.

17 Q. WITNESS EMMERSON STATES THAT A "REASONABLE
18 CONTRIBUTION" IS THAT "WHICH WOULD BE OBTAINED
19 ACCORDING TO EFFECTIVELY COMPETITIVE MARKET
20 CONDITIONS." DO YOU AGREE WITH THIS STATEMENT?

21 A. A market-determined allocation is entirely consistent with the approach I
22 have advocated for allocating joint and common costs. Indeed, witness

1 Emmerson goes on to state (p. 8, fn. 5) that the contribution could be
2 "minimal or even zero if market conditions so indicate." While he
3 continues by declaring categorically that BellSouth does not experience
4 such conditions, his testimony does not support this declaration. ACSI has
5 asked to review BellSouth's contract prices for its more competitive
6 services, so as to develop some sense as to the mark-up BellSouth affords
7 itself on such services. There is no better way to gauge an upper bound to
8 how much allocation of forward-looking shared costs would be
9 reasonable, assuming competitive market conditions existed. However, as
10 I discuss below, Mr. Emmerson's unique concept of market-determined
11 rates is not consistent with the FCC's mandates in the *Interconnection*
12 *Order* pursuant to the 1996 Act.

13 Q. WITNESS SCHEYE STATES THAT "MARKET" PRICING IS
14 APPROPRIATE ONLY FOR COMPETITIVE SERVICES -- IMPLYING
15 THAT ABOVE-MARKET PRICING IS APPROPRIATE FOR
16 MONOPOLY ELEMENTS -- SO AS TO PROVIDE REVENUE
17 SUPPORT FOR LESS COMPETITIVE SERVICES. DO YOU AGREE?

18 A. No. Indeed, witness Emmerson explains that even competitive services in
19 virtually all cases will include a pricing mark-up above direct costs,
20 allowing for appropriate recovery of shared costs. In other words,
21 competition will not deny the revenue support necessary for economic
22 viability. The market in non-regulated industries will not permit firms to

1 provide this kind of revenue support for competitive services. BellSouth
2 should not have this luxury. In the wake of the 1996 Act and its
3 requirement of a universal service funding mechanism, there is no longer
4 any need for such a "monopolistic" approach, assuming there ever was.

5 Q. SHOULD THE MARK-UP OF FORWARD-LOOKING JOINT AND
6 COMMON COSTS BE EQUAL ACROSS ALL ELEMENTS?

7 A. From the standpoint of policy, there are strong reasons to require
8 approximately equal marks-up on network elements that are provided
9 principally by a single provider, *i.e.*, BellSouth. Theoretically,
10 competitive conditions could lead to different mark-ups for different
11 elements. Indeed, the FCC itself, in its *Interconnection Order*, states that
12 there may be good reasons for some network elements, including
13 unbundled loops, to be allocated a smaller share of common costs over and
14 above what is already incorporated into the measure of TELRIC.
15 *Interconnection Order*, ¶ 696. Certainly, where, as under the 1996 Act,
16 the clear goal is to introduce competition from carriers that take these
17 elements to provide telecommunications services in competition with
18 BellSouth and other incumbent providers, an equal mark-up rule is
19 appropriate. Such a rule (which could allow for minor variations from
20 strict equality, as appropriate) would limit the extent to which joint and
21 common costs could be recovered from any one element. As a result, the
22 rule would prevent cross-subsidies (lowering the mark-up for an element

1 that the Company provides in competition with other suppliers and
2 increasing the mark-up for other less competitive or monopolistic
3 elements) and provide BellSouth with additional incentives to make more
4 efficient use of overhead. In other words, if BellSouth is able to reduce its
5 overheads through more efficient operating techniques because of the
6 mark-up methodology, it can improve its bottom line.

7 Q. WHAT IS YOUR ANALYSIS OF THE ALLOCATION METHOD
8 PROPOSED BY WITNESS EMMERSON?

9 A. In contrast to the (near) equal mark-up rule we propose, witness
10 Emmerson suggests the application of what is known as the "inverse
11 elasticity rule," or Ramsey pricing (p. 10). Under this pricing
12 methodology, BellSouth would be free to increase the mark-up on its least
13 competitive services, the demand for which is least affected by price.
14 However, the FCC, in evaluating the pricing standards the states must
15 follow under the 1996 Act when arbitrating prices for unbundled network
16 elements, expressly rejected Ramsey pricing. The FCC concluded, at ¶
17 696 of the *Interconnection Order*, that:

18 an allocation methodology that relies exclusively on
19 allocating common costs in inverse proportion to
20 the sensitivity of demand for various network
21 elements and services may not be used. We
22 conclude that such an allocation could unreasonably
23 limit the extent of entry into local exchange markets
24 by allocating more costs to, and thus raising the
25 prices of, the most critical bottleneck inputs, the
26 demand for which tends to be relatively inelastic.

1 Such an allocation of these costs would undermine
2 the pro-competitive objectives of the 1996 Act.

3
4 Q. DO YOU AGREE WITH WITNESS EMMERSON'S STATEMENT
5 THAT THE JOINT AND COMMON COSTS OF A MULTISERVICE
6 NETWORK-BASED LEC LIKE BELLSOUTH ARE SIGNIFICANT?

7 A. No, I do not concur in his estimate of the relative magnitude of efficiently
8 incurred joint and common costs. At pages 11-12 of his testimony,
9 Emmerson reports that in proceedings in Georgia and Kansas the
10 monopoly incumbent LECS have reported shared and common costs
11 accounting for up to 50 percent of total costs, *i.e.*, all costs over and above
12 long-run incremental costs. My experience with LEC⁵ pricing of
13 competitive local services, has been that estimates of this nature result
14 from comparison of LRIC -- not TSLRIC -- to total revenue or total
15 revenue requirements.

16 Q. WHAT EFFECT DOES THIS APPROACH HAVE ON THE ESTIMATE
17 OF JOINT AND COMMON COSTS AS A PERCENTAGE OF TOTAL
18 COSTS?

19 A. Comparing LRIC to total revenue or total revenue requirements inflates
20 the estimate of shared and common costs significantly for two reasons.
21 First, by using LRIC as the "numerator," *i.e.*, the portion of costs that are
22 not shared, one underestimates the level of element (or service) specific

23 ⁵ *I.e.*, Pacific Bell in California and Bell Atlantic in Pennsylvania.

1 costs. Specifically, TELRIC (or TSLRIC) equals LRIC *plus* element- (or
 2 service-) specific non-volume variable costs. Hence, LRIC is less than --
 3 and never more than -- TELRIC (or TSLRIC).

4 Second, the "denominator," or total costs, are overestimated when
 5 total revenue instead of total cost, is used. The proper number for the
 6 present purposes is the sum of TELRIC plus efficiently incurred, forward-
 7 looking joint and common costs. By including all costs contained in the
 8 monopoly provider's revenue requirements, BellSouth would throw in the
 9 full complement of embedded costs, contrary to the requirements
 10 established by the 1996 Act and the FCC's *Interconnection Order*.

11 In sum, the appropriate indication of the direct to total cost is

$$\frac{\text{TELRIC}}{\text{EJCC} + \text{TELRIC}}$$

15 where "EJCC" is the reasonable measure of efficiently incurred joint and
 16 common costs, *not*

$$\frac{\text{LRIC}}{\text{TOTAL REVENUE}}$$

20 My analysis in California and Pennsylvania, as I stated in my initial
 21 testimony, suggest that a mark-up in the vicinity of 10-15% would be
 22 more appropriate than an inflationary 100% indicated by BellSouth's
 23 witness. In short, the estimate provided by witness Emmerson is
 24 inappropriate and even meaningless.

1 Q. MR. EMMERSON INDICATES AT PAGE 19 OF HIS TESTIMONY
2 THAT THERE IS A NATURAL MONOPOLY ASPECT OF LOOPS
3 AND THAT THIS, IN TURN, SUGGESTS THE EXISTENCE OF
4 LARGE QUANTITIES OF JOINT AND COMMON COSTS RELATIVE
5 TO DIRECT COSTS. DO YOU AGREE WITH THIS CONCLUSION?

6 A. No. It is true that the existence of substantial economies of scale and
7 scope would likely result in higher levels of common and shared costs
8 than would be the case where economies of scale are not as significant,
9 holding everything else constant. It does not follow, however, that if
10 carriers are not prepared to supply their own loop facilities in this initial
11 phase of opening the market to local competition, a conclusion that there
12 are large quantities of joint and common relative to direct costs will
13 necessarily follow. This is true for at least two reasons.

14 First, the 'bottleneck' or monopolistic aspect of loop provision may
15 not be in the loop construction or provision itself, but largely may be due
16 to access to the existing rights-of-way. There are no economies of scale or
17 scope, per se, associated with access to rights-of-way. Consequently, the
18 current "monopoly" aspect of the loop is not, in and of itself, a basis on
19 which to draw conclusion with respect to the amount of joint and common
20 costs relative to total costs. Secondly, under the FCC's prescribed
21 methodology, all costs, including the incremental costs of shared facilities
22 and operations, must be attributed to specific elements to the greatest

1 extent possible.⁶ In discussing loops, for example, the FCC included not
2 only the cost of installed copper wire and telephone poles but also the cost
3 of payroll and other back office operations relating to the line technicians.
4 Consequently, using the FCC's prescribed methodology, all relevant costs
5 should be maximally attributable to particular elements.

6 Q. IS THE UNBUNDLED LOOP RATE ADOPTED BY THE FLORIDA
7 PSC IN DOCKET NO. 950984-TP APPROPRIATE FOR
8 ESTABLISHING INTERIM LOOP RATES?

9 A. No. As I noted earlier, the 1996 Act, which was enacted after Florida
10 established its interim loop rate, requires that loop rates be set at TELRIC
11 plus a reasonable allocation of forward-looking joint and common costs.
12 In this case, BellSouth to date has provided neither TELRIC information
13 nor sufficient shared and common cost information to establish a rate
14 consistent with the FCC's applicable standards. Their rates in Docket
15 950984-TP were established only as an interim rate in the absence of
16 appropriate cost analyses. The Florida PSC's discussion in the order
17 authorizing the use of that rate on an interim basis clearly indicates that
18 appropriate cost information was not available.⁷ Further, the current

19 ⁶ *Interconnection Order*, ¶ 682.

20 ⁷ Order No. PSC-96-0444-FOF-TP, Docket No. 9500984-TP, p. 15-16.
21 "Although cost information was filed for two elements, we are unable to
22 determine whether the cost information is appropriate"

1 Florida interim rate exceeds the FCC's proxy rate ceiling by more than
2 \$3.00 and does not employ at least three density zones as required by the
3 FCC's *Interconnection Order*. Under that decision, rates for unbundled
4 network elements may not exceed the established proxy ceiling (on a
5 weighted average basis) unless supported by cost studies based on
6 TELRIC plus a reasonable allocation of joint and common costs. In the
7 absence of such cost information, the Florida PSC should use the
8 information derived from the best, publicly available cost model that best
9 approximates the methodologies laid out in the *Interconnection Order*.
10 For the reasons set forth in my Direct and Supplemental Testimony, the
11 best available model is the Hatfield Study, which supports a weighted
12 statewide average below both the \$17.00 interim rate and the FCC's
13 \$13.68 proxy. In short, the current Florida interim loop rate of \$17.00 can
14 neither serve as an interim rate or a permanent state-wide rate or rate
15 average.

16 Q. ARE THERE ANY OTHER FLAWS IN THE LOOP COST
17 INFORMATION CURRENTLY ON FILE WITH THE FLORIDA
18 PUBLIC SERVICE COMMISSION?

19 A. Yes. Witness Caldwell (p. 7) explains that BellSouth's loop cost study
20 includes the Network Interface Device ("NID"). In its *Interconnection*
21 *Order*, the FCC required the NID to be unbundled from the loop. (¶¶ 392-
22 96). The result is that BellSouth's existing cost study necessarily

1 overstates the costs for the unbundled network element, ignoring any
2 analysis of the cost study methodology itself.

3 Q. WHAT IS YOUR RESPONSE TO BELL SOUTH'S CRITICISM OF
4 ACSI'S PROPOSAL FOR A SINGLE LOOP RATE FOR ALL LOOP
5 TYPES?

6 A. BellSouth has mischaracterized ACSI's proposal. First, while ACSI's
7 initial petition proposed a single rate, ACSI noted that higher prices for
8 conditioned loops were to be expected, but that they would have to be
9 supported by BellSouth's cost information. Second, ACSI's single price
10 proposal was for the "most dense" zone. As indicated in my Supplemental
11 Testimony, ACSI has modified its proposal to advocate zone-density
12 pricing in at least three density zones, as the *Interconnection Order*
13 requires. Once again, higher rates for conditioned loops, with the
14 difference based on TELRIC differences, would be appropriate under such
15 zone density pricing.

16 Q. DOES THIS CONCLUDE YOUR REBUTTAL TESTIMONY?

17 A. Yes.

1 Q (By Mr. Horton) Dr. Kahn, do you have a brief
2 summary of your testimony?

3 A I do. I was retained by ACSI to identify
4 the -- on their behalf to identify the relevant
5 economic costs associated with providing particular
6 unbundled elements that were subject to their
7 application for arbitration. My testimony addresses the
8 issues involved in identifying those costs, and
9 furthermore, to determine how such costs should be used
10 in setting rates for unbundled elements.

11 I discuss in my testimony three
12 cost-and-pricing standards that I believe should be
13 drawn upon by this Commission in reviewing costs and
14 establishing rates. First, the Commission should
15 recognize that, in a competitive market, prices are
16 price signals, and that they send information into the
17 market. Prices for unbundled elements signal the
18 advisability to any potential entrant as to what kind of
19 entry should take place and where geographically that
20 entry should occur.

21 It indicates as to whether or not participants
22 in the market should expand and seek additional market
23 share. These price signals will affect the extent to
24 which the market will act efficiently and will respond
25 to customer preferences, and actually the efficiency of

1 the actual participants in the market in determining
2 market share.

3 In that regard, it suggests that because these
4 are price signals, that the Commission in its
5 deliberation should focus on the impact on the market
6 itself rather than the impact of any decision on the
7 role of any particular participant in that market.

8 The cost study established in this regard is
9 one that should be long run, and by that I mean it
10 should reflect the opportunity of the provider of
11 service to adjust the size of the operation, have
12 variable costs involved in meeting capacity
13 requirements, changes in costs, changes in technologies
14 and changes in demands. It should be total service in
15 there and it should be incremental. And the latter
16 point, incremental, meaning it should not reflect the
17 embedded cost of the company, but rather reflect changes
18 in operations.

19 The second standard that I think the
20 Commission should recognize is that any price
21 established should allow full recovery of all reasonably
22 incurred, efficient, forward-looking costs that any of
23 the service providers realize. In doing this, however,
24 the Commission has to recognize that the services, the
25 unbundled elements we're talking about, are being

1 provided generally in a monopoly environment. So the
2 issue is not only seeing that the costs are being
3 recovered, but it's seeing that only the costs incurred
4 are being recover, and that monopoly pricing does not
5 result.

6 The Commission must also recognize that, given
7 the language of the Act, that in fact this cost recovery
8 is not to occur in the context of a rate case, and that
9 is to say, it should not reflect simply the embedded
10 books and the embedded costs on the company's books.

11 Finally, the final standard is that any cost
12 study adopted, in my opinion, should be open. By that I
13 mean the cost study itself and the data used should be
14 open and subject to public review. Any cost used and
15 the data drawn upon should be subject to public
16 verification. The issue is not the methodology used.
17 Any methodology can be used and should be allowed to be
18 submitted by any party. It's just that the method used
19 and the data relied upon must be open and public to such
20 inspection and review.

21 Applying those standards to the BellSouth
22 information provided, the conclusions I arrived at is
23 the cost studies provided simply do not meet the test
24 that I've identified and cannot be relied upon by this
25 Commission in establishing the rates that it is

1 attempting to do for purposes of unbundled network
2 elements.

3 Information was not provided to us in time to
4 be included in our analysis at prefiled. And based upon
5 the information made available since that time, my
6 bottom line conclusion has not changed.

7 In my testimony I provide the Commission with
8 two alternatives that it may use when in fact there is
9 insufficient information provided by BellSouth for this
10 purpose. First, I make reference to what's been
11 referred to as the Hatfield Model. The Hatfield Model
12 is an open model. It's based on long run incremental
13 costing concepts and in fact can be used for this
14 purpose.

15 Secondly, I make reference to the FCC proxy
16 costs. Those are costs that have been established.
17 Those are costs that have been identified by the FCC for
18 purposes of arbitration proceedings such as these that
19 may be used in lieu of any other information provided by
20 or approved by the company.

21 In my supplemental testimony -- if I may back
22 up for a moment, in my direct testimony, I focus
23 primarily on economic principles and the requirements of
24 the Act. And basically what I've described to this
25 point, with the exception of reference to the FCC

1 proxies, was drawn from those two sources.

2 In my supplemental testimony, I made reference
3 to the fact that we had before us at that time an FCC
4 order, and I drew from that order what we could, with
5 regard to the same standards and the issues before us.
6 Based upon that, I made reference to the concept of FCC
7 proxies and its role as I described a moment ago.

8 There is one other issue identified in the FCC
9 order that I believe the Commission must address, and
10 that's the issue of geographic deaveraging. It's my
11 opinion that some geographic deaveraging is both
12 appropriate, and quite candidly, will occur.

13 The issue is what role and what fashion in the
14 Commission's opinion, should it take, given the other
15 policy matters before this Commission.

16 We propose that whatever geographic
17 deaveraging does occur -- and we propose a geographic
18 deaveraging is ordered at this time -- that it should be
19 cost-based and not based on the market inclinations and
20 strategic marketing desires of the incumbent LEC. We
21 understand that there are both administrative and policy
22 issues involved in doing so. We believe that the number
23 of geographic zones should not be huge, but rather
24 should be manageable. We identify six, and
25 alternatively three, geographic zones in this context in

1 our testimony.

2 Finally, my testimony focuses on the issue of
3 a markup for the services. The FCC order recognizes,
4 explicitly, that setting price at incremental cost, in
5 all probability, will not result in the telephone
6 company's recovering total cost of operations, and any
7 participant in a competitive market would be expected to
8 do just that.

9 We have proposed that such a markup exist, but
10 that the markup not be based on the books of the
11 company. Instead, we propose a competitive market
12 surrogate. The issue with regard to how much more than
13 the incremental cost the telephone company should recur
14 is based upon a measurement of forward-looking,
15 economically efficient joint and common costs. If
16 according to the Act that is not to be done in the
17 context of a rate case, we suggest that it be done by
18 making use of a market surrogate.

19 We report on information generated in that
20 exact context by our firm in California with regard to
21 the operations of Pacific Bell and GTE Telephone
22 Companies, and of a proposal made by Bell Atlantic of
23 Pennsylvania using the exact same concept in a case in
24 that jurisdiction, in Pennsylvania in particular. In
25 both instances it suggests a markup of approximately 15

1 percent over TSLRIC.

2 Finally, I should note that the markup that
3 I'm making reference to, despite the description made by
4 Dr. Emmerson, is not the lowest markup available based
5 on the operations of these companies. The analysis that
6 we perform, the markup that we identified, was a
7 median. And by being a median, it meant that half of
8 the observations of the markup were lower than the 15
9 percent figure that we were using.

10 That's a summary of my testimony.

11 MR. HORTON: Madam Chairman, I would like to
12 ask Dr. Kahn a couple short questions with respect to
13 TELRIC study.

14 Q (By Mr. Horton) Dr. Kahn, have you reviewed
15 the TELRIC cost study which was recently filed by
16 BellSouth?

17 A I have.

18 Q And do you have some comments with respect to
19 that study, brief comments?

20 A I do. First of all, I would like to make an
21 overall observation, and a few very specific
22 observations. The TELRIC study provided by the Company
23 most recently includes both updates to its TSLRIC
24 analysis, as well as modifications based on TELRIC.
25 Putting aside what it claims to be the modifications

1 based on TELRIC, in my opinion, causes me some pause in
2 terms of the reliability of the underlying cost study.

3 Simple passage of time of several months, and
4 based on simple updating of what is claimed to be a
5 forward-looking study, has resulted in substantial
6 changes in the underlying costs simply on a TSLRIC
7 basis. That simply brings into question the simple
8 reliability of that study to be used for setting prices
9 in what is probably going to be a sensitive area with
10 regard to competition and the pricing of monopoly
11 service elements.

12 For that reason, if only for that reason, I
13 could not recommend to any party to rely on that study,
14 because the number is a very rapidly moving target, and
15 it's not something that could be relied upon.

16 More specifically, with regard to the cost
17 study, I have to echo the words that Dr. Cornell used,
18 and it is a step backward. The Company has changed the
19 way in which it's measuring spare capacity, from going
20 to some forward-looking to an embedded-based measure.
21 The Company includes a concept now that it's referring
22 to as bridge tap, which is really something that should
23 be included in spare capacity, but it's simply doing
24 that in a manner of increasing the investment in that.
25 It's almost as if that, when in doubt, simply increase

1 the cost of the loop, which is a mechanism that I think
2 has been in place in the telephone industry for some
3 time.

4 The Company has included common costs,
5 recovery of joint and -- excuse me, the recovery of
6 joint and common costs as prescribed by the FCC order
7 with regard to TELRIC.

8 First of all, the measure it used is strictly
9 embedded, not forward-looking. Secondly, whatever
10 amount it included it is assigning disproportionately to
11 the local loop. It is allocating the cost on
12 investment, not as a markup to cost, but simply as a
13 markup to investment. The loop is critically one of the
14 most capital intensive components of the network. The
15 Company did adjust the cost of money, and in that regard
16 I believe it saved the Commission an effort.

17 Finally, the Company has proposed changes in
18 the depreciation rates used. The initial set of
19 depreciation rates were that which it viewed as
20 appropriate, as I understand it, not the ones that have
21 been approved by either this Commission or the FCC. The
22 Company has simply now indicated that it would like yet
23 a different set of depreciation rates, and has included
24 those.

25 For those reasons, and if only for those

1 reasons, I would suggest that the Commission not adopt
2 what the Company has referred to as TELRIC, and for the
3 reasons I indicated, I would suggest that it have some
4 hesitation and pause before adopting what the Company
5 has referred to as TSLRIC.

6 MR. HORTON: Thank you. Dr. Kahn is available
7 for questions.

8 MS. DUNSON: No questions.

9 MS. McMILLIN: No questions.

10 CHAIRMAN CLARK: Mr. Lackey?

11 MR. LACKEY: Thank you, Madam Chairman.

12 CROSS EXAMINATION

13 BY MR. LACKEY:

14 Q Dr. Kahn, I'm Doug Lackey appearing on behalf
15 of BellSouth Telecommunications. Your revised Exhibit
16 MHK-1 is the only place where I've found any recommended
17 rates in your testimony. Is there someplace I've
18 missed, or is that the only place where I can find them?

19 A No, these are the rates that we have put
20 before the Commission and asked the Commission to
21 consider because there is no alternative cost
22 information that we believe is acceptable before the
23 Commission at this time.

24 Q Now as I understand it, these are the output
25 of the Hatfield Model?

1 A The vast majority of them are, except for the
2 last number on the page.

3 Q And the last number is the FCC proxy ceiling?

4 A That is correct.

5 Q Now did you run these numbers yourself?

6 A We did not.

7 Q Okay, what I'm trying to find out, and I'll
8 ask you as directly as I can, are you holding yourself
9 out as an expert on the Hatfield Model?

10 A Not to the extent that -- not at this time,
11 and for purposes of this testimony, to the extent that
12 Mr. Wood did. What I have done is reviewed the model.
13 I've made myself competent and comfortable about the way
14 the model is put together, conceptually, the way it
15 works, and what it both tries to and does accomplish in
16 that regard.

17 Q Well, if I wanted to talk to you about
18 Exhibit 35 and the length of the distribution cable and
19 the census block groups, that sort of thing, would you
20 be familiar with that?

21 A To some limited degree, but again, not
22 necessarily at the same level of detail at this time,
23 for instance, that Mr. Wood held himself out to be.

24 Q Do you know anything about Euclidean geometry?

25 A I probably knew more than I do now.

1 Q Let me just ask you one or two questions, and
2 if you don't know anything about it, we'll just quit,
3 okay?

4 Do you have a copy of Exhibit 35? Everybody
5 is routing for you to say you don't know anything about
6 it, by the way. Do you have a copy of Exhibit 35 there?

7 A I do not.

8 Q And do you have a copy of the Hatfield
9 description? It's -- well, it was DJW-4.

10 A Not with me.

11 Q Do you know enough about the Hatfield Model to
12 know that the way the length of the distribution cable
13 is determined is by taking five-eighths of the side of
14 the square that represents the census block group?

15 A I do remember the equation and the discussion
16 of the equation in there. I will accept your
17 description for the moment that that's what it boils
18 down to.

19 Q And do you know enough about the model to know
20 that the number of distribution cables are dependent
21 upon the density of the lines per square mile?

22 A That's my recollection.

23 Q Now you -- do you have in front of you Exhibit
24 35?

25 A Yes.

1 Q And that was posed as an exhibit having four
2 lines per square mile density; is that correct?

3 A That's what it says on it.

4 Q Do you recall that that generated two
5 distribution loops, 3.125 miles long?

6 A I don't.

7 Q So if I were to ask you how many of those
8 distribution cables resulted when the density went to
9 two and a half thousand lines per square mile, you
10 wouldn't know the answer?

11 A That's correct.

12 Q Do you know enough about the model in geometry
13 to know whether a square is the most efficient way to
14 measure -- whether the square gives the shortest cable
15 lengths of any geometric figure that would be available
16 in a Hatfield type model?

17 A I've got a couple of questions built in
18 together in that. You're asking questions about the
19 properties of a square, and then you're asking questions
20 about the property of the square in the context
21 specifically of a Hatfield Model.

22 Q Let's talk about the properties of the square
23 first?

24 A I feel confident that when one looks at the
25 Hatfield Model you can answer that question explicitly.

1 I could not answer it while sitting here.

2 Q Okay. Well, if it turns out that the output
3 of the Hatfield Model as reflected on your schedule 1 is
4 wrong because there's some fundamental flaw in the
5 Hatfield Model's treatment of distribution cable, you
6 have nothing else to offer the Commission today in terms
7 of rates; is that correct?

8 A No, I'm not sure that's totally accurate. You
9 are correct that if the output of the Hatfield Model is
10 incorrect, that in fact it should be changed, and the
11 incorrectness in the Hatfield Model is reflected on the
12 numbers on his page. As I did comment, however, in my
13 opinion one of the greatest attributes of the Hatfield
14 Model is that we can identify an error in it because it
15 is open, it is fixable. Unfortunately, I'm not sure we
16 can say that about the alternative.

17 Q Well, if there's a fundamental mathematical
18 error or if there's a fundamental error in the
19 assumptions that squares actually represent census block
20 groups, that can't be fixed, can it?

21 A Well, whether or not squares accurately
22 represent census block groups is one question. Whether
23 or not that's an error in the model is a different
24 question.

25 Q I'm sorry. I asked the question in the wrong

1 way. You understand there is an assumption that says
2 every census block group looks like a square for
3 purposes of these calculations?

4 A It's treated as a square, that's correct.

5 Q If that assumption won't hold, or if that
6 assumption leads to invalid results, then there's
7 nothing you can do to fix that, is there?

8 A First of all, that's testable. And again,
9 simply because a census block group may not be a square
10 does not make the assumption incorrect. I don't know of
11 a model that has no assumptions in its construct, and by
12 the way that includes the BellSouth models.

13 So the issue is not whether or not the
14 assumption matches reality, whatever that is,
15 perfectly. That's far different than the question of
16 whether it's right or wrong. But if in fact the model
17 is not any good, then, yes, the numbers will follow from
18 that and the numbers themselves will be in danger.

19 Q Now in your zones, I take it that -- do you
20 happen to know what the highest 1-FR rate is in Florida,
21 or will you accept, subject to check, that it's \$10.65?

22 A I'll accept your characterization.

23 Q If I understand the way you've got your zones
24 broken down here, except in the zone where you've got
25 more than 850 lines per square mile, the cost of the

1 loop that you're assigning on average exceeds the
2 greatest or the highest 1-FR rate charged in the state
3 of Florida; is that correct?

4 A All those numbers are above \$10.65.

5 MR. LACKEY: That's all I have. Thank you,
6 Madam Chairman.

7 CHAIRMAN CLARK: Staff.

8 CROSS EXAMINATION

9 BY MS. BARONE:

10 Q Good evening, Dr. Kahn.

11 A Good evening.

12 Q My name is Monica Barone. I'll be asking you
13 questions on behalf of Commission Staff. Sir, would you
14 agree that the FCC's TELRIC's cost methodology is the
15 same as a TSLRIC cost methodology of a specific network
16 element?

17 A Yes.

18 Q In your rebuttal testimony on Page 2, at Lines
19 13 through 15, you state that there is no reason to
20 believe TSLRIC will yield lower rates than TELRIC, and
21 in fact the opposite is likely. Would you explain your
22 position for me?

23 A Yes, and I'm going to assume that your
24 question is at least in part based upon your preceding
25 question.

1 Q Yes.

2 A Unfortunately, in the context of the last two
3 months, we have contributed to the English language, and
4 we have expanded it unmercifully. Many of us are using
5 the words "service" and "element" interchangeably and
6 very loosely, and using the words "TSLRIC" and "TELRIC"
7 very loosely also. And I'm assuming your question is
8 really in that spirit or as a result of that.

9 With that in mind, when I'm talking about
10 TSLRIC in this context, I'm talking about the studies
11 that have traditionally been done by the LECs, as
12 opposed to any theoretically correct TSLRIC that you may
13 have been referencing, for instance, in your preceding
14 question.

15 And most specifically, what I'm saying here is
16 that as we move from the logic of those studies and
17 focusing on services to a study that focuses on elements
18 rather than the underlying services, the changes that
19 I'm describing here is what I'm making reference to, and
20 that simply when we focus on elements, we're going to
21 come up with a different set of numbers. And there are
22 a lot of different things we're going to be doing than
23 when we focused on services.

24 Nevertheless, as I said in a preceding
25 question, the underlying cost study logic is the same.

1 We're attempting to identify something in a long run,
2 we're looking at an incremental change, and we're
3 looking at it on a total service or element basis. But
4 because the object of the cost investigation differs,
5 we're going to capture and identify things in one that
6 we will not capture and identify in the other.

7 Q Sir, could you provide us with an example?

8 A Certainly. Quite often -- and telephone
9 companies produce, quote, "TSLRICS" of local exchange
10 service on a regular basis. They produce them
11 independent of how regularly they do. One of the
12 components of that study, as put together by a telephone
13 company, will be the local loop.

14 We have before us an issue of TELRICs with
15 regard to the local loop. It is my view, when properly
16 constructed, the TELRIC of the local loop is not simply
17 the loop component of that local exchange service.
18 There are a number of differences that will take place.
19 There are a number of maintenance functions, I suggest,
20 that are probably associated with providing local
21 exchange service that may not be necessary when
22 providing simply the loop.

23 Mr. Stipe, for instance, made reference to a
24 number of functions in that regard. There are a number
25 of aspects of provisioning, thus service, that will not

1 be necessary for provisioning the element. There are
2 also a number of things that have fallen under the
3 rubric of "retail" in the context of avoided cost, as
4 dealt with in resale, for instance, in this proceeding,
5 that will also be present when we look at the service
6 that will not be present when we look at the element.

7 Finally -- there is a flip side as well.
8 There are things involved in focusing on elements that
9 are considered joint and common and not included when we
10 focus on services. So that's what I mean that there is
11 an underlying object of identifying the cost and the
12 method that's the same, but there nevertheless still
13 will be differences.

14 Q On Page 5 of your direct testimony at Lines 14
15 through 17, you propose a markup over TSLRIC for the
16 recovery of joint and common costs, but limited to what
17 the ILEC elects by its own activities in competitive
18 markets. Would you please explain what you mean by
19 limited to what the ILEC elects by its own activities?

20 A Certainly. The markup that we currently have
21 over cost, on average, for an ILEC, really reflects the
22 difference between its incremental cost and its revenue
23 requirements. If we're interested in identifying the
24 price that would exist in a competitive market, or
25 attempting to monitor the competitive outcome, what I am

1 suggesting here is we examine the activities of the
2 telephone company itself, the LEC itself, in that
3 segment of its operations which can be classified as
4 competitive.

5 In most jurisdictions, as I understand in
6 Florida also, there are customer-specific contracts that
7 are allowed. Those contracts are off-tariff
8 provisions. The rates involved in those are off the
9 tariff and subject to negotiation in a competitive
10 market.

11 My recommendation is turning to that for
12 information as to what it is that the Company considers
13 to be a reasonable markup in a competitive environment,
14 a reasonable attempt to recover those costs which are
15 generally referred to as joint and common.

16 Q What type of information do you need from
17 BellSouth to determine the appropriate markup?

18 A I can tell you specifically the information
19 that we use in our research in California. And what we
20 did in that regard is that we had the contracts
21 themselves and the rates involved in those contracts.
22 With every contract in California, the Company was
23 required to provide cost information in order to justify
24 the contract to see to it that rate was above cost, and
25 cross-subsidy did not result. And finally, we had the

1 cost studies that the LEC had performed for that generic
2 service. So that we also had that cost information to
3 rely upon in case there were any holes in the
4 information that was provided by looking at the contracts.

5 That information was made available for both
6 Pacific Bell and for GTE, and we examined that
7 information on -- for one company for 1995 and for
8 another company for 1995 and 1996 contracts. So we, in
9 essence, had every contract that the companies had
10 entered into over that period of time.

11 Q Are you suggesting that's what you need from
12 BellSouth?

13 A Depending on the number of contracts, one can
14 use a sampling technique. We were also provided by the
15 companies, I should add, a summary listing of that
16 information, with access to the individual contracts.
17 But to answer your question, yes, I would suggest
18 getting that information. I should add, just to
19 complete it, our attention focused most specifically on
20 contracts dealing with Centrex, though not necessarily
21 unique to Centrex.

22 Q Sir, have you asked BellSouth during the
23 negotiations to get copies of contracts?

24 A We served a data request when the application
25 for arbitration was filed with the Commission. We

1 served the data request seeking that information.

2 Q Did you get that information?

3 A To my knowledge, we did not.

4 Q Sir, what you were just describing, do you
5 believe that's consistent with the FCC's TELRIC and
6 forward-looking economic cost methodology?

7 A Absolutely.

8 Q Would you explain why you believe it's
9 consistent?

10 A Certainly. The FCC, when it made reference to
11 the recovery of joint and common costs, indicated that
12 that should be restricted to the forward-looking,
13 economically efficient joint and common costs and should
14 not be based on embedded costs. The FCC also
15 acknowledged that it could be difficult for a commission
16 to make a determination as to exactly what volume of
17 joint and common costs met that description. It's my
18 view that a competitive market surrogate provides all
19 the information necessary, identifies what a reasonable
20 recovery of those costs would be, allowing the company
21 to recover both that volume of costs and to earn a
22 reasonable return, again a requirement of the Act, and
23 also limits the recovery to those that are reasonable.
24 We're allowing the market to determine reasonableness.
25 Actually, we're allowing the ILEC to determine what

1 volume is reasonableness. And consistent with the Act,
2 we're not doing it in a rate of return investigation.

3 Q Sir, why do you believe the ILEC should
4 determine that?

5 A My point is not so much that the ILEC should.
6 My point is that we have that opportunity.

7 Q Sir, do you believe that the Hatfield Model
8 meets both the TELRIC principles and the TSLRIC
9 methodology discussed in your testimony?

10 A I believe it meets the -- from the point of
11 view of network elements, the answer is yes.

12 Q As opposed to what?

13 A Pardon me?

14 Q From the point of --?

15 A Services themselves. I've only focused on the
16 model from the point of view of costing out network
17 elements.

18 Q Does ACSI want this Commission to use the
19 Hatfield Model results or the FCC's \$13.68 proxy?

20 A Being a participant in the market, I feel
21 confident that the preferences of Hatfield in terms of
22 whether it would -- excuse me, the preferences of ACSI,
23 whether it would like a higher or lower number, should
24 be fairly obvious.

25 But to answer the question, I think, much more

1 specifically from the point of view of the legitimacy, I
2 think what we've got here is that what we do have is we
3 have a proxy established by the FCC, and the proxy
4 established by the FCC is set with an understanding that
5 one can go above that if, and only if, it is justified
6 by a properly structured TELRIC study. But one can go
7 beneath it with good cost information. In that context,
8 it's my opinion that Hatfield provides the necessary
9 data to be able to establish a rate that differs from
10 the proxy.

11 Q BellSouth's witness, Mr. Emmerson, proposes
12 the inverse elasticity rule for determining the
13 appropriate mark of the amount. Are you familiar with
14 that concept?

15 A I'm familiar with that concept and I'm
16 familiar with Dr. Emmerson's testimony on that matter.

17 Q Do you agree with this method?

18 A No. His recommendation literally is a recipe
19 for price discrimination. Literally, it is a recipe for
20 protecting Bell's current position in the market by
21 allowing Bell to charge as much as possible for network
22 elements when they are under monopoly circumstances, and
23 to reduce the price, if and only if the market requires
24 that. I don't believe that's consistent with the reason
25 why regulation was put in place to begin with, and it's

1 not consistent with what I believe the goals of this
2 commission are, as it has expressed regularly to date.

3 Q Sir, are you familiar with Don Wood's
4 testimony?

5 A Generally.

6 Q Do you know whether the Hatfield results
7 contained in your exhibit marked MHK-1 are consistent
8 with the results provided by MCI Witness Wood, Don Wood?

9 A I did not look at any of the exhibits attached
10 to his testimony. I do not know.

11 Q Sir, can you briefly explain the concept of
12 geographic deaveraging, as described by the FCC?

13 A I think what the FCC was making reference to
14 is the fact that the cost of providing certain network
15 elements is not going to be constant across the state.
16 And it's in that context it was talking geography.

17 I believe, however, the FCC went one step
18 further than that, and indicated its preference, and in
19 fact its very strong preference, that to the extent
20 there are differences, the differences that are
21 reflected in prices charged should be cost-based. There
22 is plenty of language in the FCC's order where it
23 indicates its absolute concern about price
24 discrimination. And to the extent that price cost
25 differentials vary, it believes there is an incredible

1 burden upon anybody who proposes such variation.

2 With that in mind, I believe that what the FCC
3 is indicating, is to the extent that there are material
4 differences in cost, across a state, for providing any
5 unbundled network element, that in fact those cost
6 differences should be reflected in price differences,
7 and that cost should be the base of those differences in
8 prices.

9 Q Does the Hatfield Model provide geographically
10 deaveraged rates?

11 A Yes, it does.

12 Q Do you know if any of BellSouth's cost studies
13 contain geographically deaveraged rates?

14 A The studies filed in Florida do not.

15 Q Sir, I would like to turn your attention to
16 Page 11 of your rebuttal testimony where you state that
17 you do not agree with BellSouth Witness Emmerson's
18 statement that the joint and common costs of a
19 multiservice network-based LEC are significant.

20 A I have that.

21 Q Would you explain your position, please?

22 A Certainly. To be clear, are you talking about
23 more or less what is on the top half of that page?

24 (Transcript continues in sequence in
25 Volume 10.)