

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


In Re: Petitions by AT&T)	DOCKET NO. 960847-TP
Communications of the Southern)	DOCKET NO. 960980-TP
States, Inc., MCI)	
Telecommunications Corporation)	
and MCI Metro Access)	
Transmission Services, Inc., for)	
arbitration of certain terms and)	
conditions of a proposed)	
agreement with GTE Florida)	
Incorporated concerning)	
interconnection and resale under)	
the Telecommunications Act of)	
1996.)	

THIRD DAY - MORNING SESSION
VOLUME 15
PAGES 1670 - 1737

PROCEEDINGS:	Hearing
BEFORE:	CHAIRMAN SUSAN F. CLARK COMMISSIONER DIANA K. KIESLING COMMISSIONER J. TERRY DEASON COMMISSIONER JULIA L. JOHNSON COMMISSIONER JOE GARCIA
PLACE:	Betty Easley Conference Center Room 148 4075 Esplanade Way Tallahassee, Florida
TIME:	Commenced at 10:00 a.m. Concluded at 12:00 p.m.
DATE:	Wednesday, October 16, 1996
REPORTED BY:	SARAH B. GILROY, CP, RPR
APPEARANCES:	(As heretofore noted.)

BUREAU OF REPORTING

RECEIVED 10-17-96



WITNESSES - VOLUME 15

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NAME

PAGE

DON WOOD

Continued Cross Examination by Mr. Fuhr

1672

P R O C E E D I N G S

(Transcript follows in sequence from Volume 14.)

DON WOOD

having been called as a witness on behalf of MCI and AT&T, and being duly sworn, continues his testimony as follows:

CONTINUED CROSS EXAMINATION

BY MR. FUHR:

Q The image of a model with 1 million cells is sort of a daunting constant when you think of 300 or 400 different input values. But some of these cells are not simply a number, but rather a formula; correct?

A That's right.

Q And would you -- strike that. Is it your understanding that there are more than 5,000 cells in this model that consist of some form of mathematical formula that defines that cell?

A Yeah. I think -- I don't know the exact number. I think it is between five and 6,000. There are a lot of them.

Q And has AT&T -- or Hatfield & Associates disclosed and made publicly available all those 5,000 models or 5,000 formulas?

A To my knowledge they have. Again, if -- you know, those may be situations where there is -- that's -- you may not have the option as a reviewer of the model to change those calculations. You have the option to see them.

1 In fact I'm quite sure that you can go through for
2 each of those cells and see the underlying calculation, see
3 what got done. And by being able to do that you can then trace
4 through in the process that we were talking about before.

5 You ought to be able -- to evaluate a model you
6 certainly ought to be able to understand its calculations and
7 its formulas. I'm not sure you ought to be able to change them
8 necessarily. That may not be possible here.

9 Q Would you agree that to understand a formula it
10 would be useful to have backup documentation on that formula
11 with respect to explanation of what that formula is, what the
12 concept is, what its structure is?

13 A Certainly, and that's certainly the intention
14 behind I guess what's marked DJW-4, that set of documentation.
15 I can certainly tell you, having tried to review Costmod SCIS
16 in the past, that I've not had that data, and it has been a
17 frustrating process.

18 In fact I've not had any of the data that we've
19 discussed up to this point.

20 Q I believe you indicated that the 400 data points
21 that we have described earlier, that we mentioned earlier,
22 approximately 400 are data points that the user of the model
23 can change and adjust; am I right?

24 A That's right.

25 Q There are obviously a lot of other data points that

1 go into this model; correct?

2 A Yeah. Again, we're talking about the underlying
3 raw data, if you will, the census data, the USGS data.

4 Q Do you know how many data points of that type there
5 are? And by "that type" I'm talking about a type that are not
6 adjustable by the user.

7 A Essentially everything else that we're -- we're
8 talking about on a state-specific basis, some of the 400 that
9 we're talking about will change; line counts obviously, traffic
10 statistics, that sort of thing.

11 Some of those 400 will not necessarily change but
12 are national default figures that can be changed if there is a
13 reason to do so, but won't necessarily change. So as we look
14 at this model as not a single-state model, but a 49-state
15 model, you will certainly see that on a percentage basis most
16 of the cells can't be changed.

17 And of course the reason they can't be changed is
18 that most of the cells are state-specific data on census and
19 USGS data that are for other states other than the one being
20 studied. Even for this state most of the data points are that
21 type of information.

22 So certainly on percentage-wise most of them can't
23 be changed, but the reason is that most of what's in the model
24 is underlying a huge database of underlying raw census and USGS
25 data.

1 Q Are you able to quantify what the rest of the data
2 is, or when you say "most of the data is data that cannot be
3 changed," are you able to put an order of magnitude on that?

4 A Well it's -- we're talking about 400 user
5 definables, which are the ones that should be user definable.
6 Those are the key assumptions to the model. They determine
7 whether it's right or wrong. Some of those change state by
8 state. Some don't.

9 To the extent that there are a million more cells
10 out there, five or 6,000 which are calculations, really
11 everything that's left over.

12 Q It's a mathematical difference of those numbers?

13 A I'm sorry? It's a very big number. It's hundreds
14 of thousands.

15 Q Who made the judgment as to which of the inputs
16 were ones that could be adjusted by the user and which ones
17 would be hard wired or in some manner made nonadjustable by the
18 user?

19 A I don't know what individual would have made that
20 decision. I have talked it over certainly with Dr. Mercer, and
21 it's my understanding the decision was made just on the type of
22 logic that I've described to you.

23 There is a lot of raw data here that's census data,
24 USGS data that shouldn't be changed by anyone reviewing the
25 model. That's not the data that's at dispute here.

1 What is potentially at dispute are the key
2 assumptions to the model that fall within the realm of these
3 400 inputs. And the decision was made certainly between
4 Release 1 and Release 2 to make those as user definable as
5 possible.

6 Q Is it fair to say that if there is -- or if there
7 are inputs in the model that cannot be adjusted by the user,
8 but which do not come from the census bureau or the U.S.
9 Geographic -- or Geological Survey, you are simply unaware of
10 their existence?

11 A Again now we're not talking about calculations,
12 we're talking about inputs, input data points.

13 Q Right.

14 A This is a pure subject-to-recall answer, and if you
15 remind me of some, I'm sure I will agree with you. But I don't
16 recall any I mean simply because I haven't gone through and
17 tested them all. I've only tested input -- changing inputs
18 that fall within this list of 400. And I've discussed the
19 logic with the developers of why certain sets of data should be
20 closed off.

21 So I've described the process -- I described this
22 as accurately as I know to describe it to you.

23 Q Have you had any disagreements in any respect with
24 the judgment that was made by Hatfield & Associates in terms of
25 what values got turned off, meaning that the user could not

1 change them, and which ones were made changeable?

2 A No. Again, based on that same conversation with
3 Dr. Mercer, I see no reason that census data ought to be
4 changed or that USGS data ought to be changed.

5 Q Is there any respect in which, based on your years
6 of experience with cost models, you have a disagreement with
7 what Dr. Mercer has done with respect to this model?

8 A Actually, no. The only -- I gave him some very
9 specific feedback, and I will be glad to tell you what that
10 was. But they incorporated everything that I expressed concern
11 about.

12 Q And those were concerns that you expressed with
13 respect to Release 1 and which you believe have now been
14 incorporated in Release 2; is that correct?

15 A That's right. If that were not true, Mr. Fuhr, I
16 wouldn't be here sponsoring this model today. If they had left
17 out standing concerns I would not be telling this Commission
18 that this was the best and most reliable source of cost data.

19 Q And is it your opinion that there are no further
20 changes that need to be made to Release 2 for it to be a
21 reliable model for commissions all across the country to rely
22 on in determining the cost of incumbent local exchange carriers
23 in specific states?

24 A I have not discovered any of that type of error
25 that needs to be corrected. As you're aware, I think we

1 updated the two pages to my testimony that reported the results
2 and the three output pages, the GJW-3 exhibit, for that very
3 reason, and that is that the model as it was originally
4 distributed had a tax calculation error in it that was
5 discovered very quickly and corrected very quickly.

6 And the new numbers reflect that change. They're
7 not very different from the others. But in the interest of
8 this process -- and there are a lot of people that feel the
9 same as I do, and that is that this process needs to be
10 absolutely verifiable and absolutely open.

11 And if we find the mistake, we're going to raise
12 it, and we're going to insist that it get corrected and be
13 corrected immediately. In this case it meant updating
14 results. They weren't very different, but we updated them
15 anyway.

16 That process is still in place. I'm not the only
17 one that's insisting on that. That's why I'm fairly confident
18 that there haven't been other types of calculation errors like
19 that uncovered, because if they had, I would know about them.
20 We would have them.

21 Q And the type of updating that you're referring to,
22 you are referring to changes or modifications to the values
23 that are assigned those adjustable inputs as you get better,
24 more accurate information; is that right?

25 A Well it could be two things. It could be better,

1 more accurate publicly-available information. We don't want to
2 include any proprietary information here, because then that
3 shuts down this whole public access principle.

4 It could be calculations. The tax calculation was
5 such an error. It could be the incorporation of new data. The
6 only other type of change that I have seen done at all is a
7 reassignment of census block groups to wire centers or to end
8 offices.

9 When you're assigning hundreds or thousands of CBGs
10 to a corresponding end office the model does it by the closest
11 office, which is, as it turns out, over 99 percent of the time
12 the right answer, but occasionally is not. I know there have
13 been some corrections made in California. I know there were
14 corrections made in Pennsylvania.

15 The model developers were happy to do that. They
16 re-ran the model, and the results didn't change significantly
17 in either case. So it's -- that's an ongoing process that's a
18 refinement to this very large base of census data.

19 But it's not a refinement that to date has resulted
20 in a significant change in the output. So I expect that to be
21 ongoing, but I don't expect it to have major consequences.

22 Q Let's talk about that, the lives of the CBG data,
23 the assignment of wire centers and the like that you just --

24 A Yes.

25 Q -- mentioned. The CBG data that you were referring

1 to is this data that you have gotten from the federal
2 government that talks about certain census tracts, a certain
3 number of people that reside in those census tracts; correct?

4 A That's right.

5 Q And the model attempts to project what the costs
6 are of providing service to those people who reside in each of
7 these tracts; correct?

8 A That's right. These are very specific and
9 disaggregated geographic units, far more disaggregated than any
10 of the incumbent models that I've seen. In fact I believe
11 there are over 4700 of these in Florida.

12 Q And the Hatfield Model takes a scorched node
13 approach to providing service -- or calculating the cost of
14 providing service to the people that reside in any particular
15 census tract; is that correct?

16 A That's right. And by "scorched node" I assume you
17 mean that switching locations are assumed to be the existing
18 locations, that's right.

19 Q And everything else is assumed variable; correct?

20 A Well nothing else is considered sunk I think is the
21 most accurate way to characterize it. We're going forward from
22 existing switching node locations to build up the efficient
23 network as it would be built on a forward-looking basis.

24 Q The model assumes; does it not -- let's take an
25 example. Assume that census data that you collect shows that

1 in Tract 1, 100 people reside in that district; are you with me
2 so far?

3 A Yes.

4 Q Okay. The model assumes -- does it not? -- in
5 making its cost determinations that those 100 people are
6 uniformly disbursed throughout that geographic tract so that
7 the distances between each resident is exactly the same as --
8 there is no clustering of residents in other words within that
9 tract; correct?

10 A Well that's nearly true. That was true across all
11 density zones in BCM1. It was recognized by all of the
12 cosponsors of BCM1, including MCI in its development of
13 BCM-PLUS, that when you look at rural areas people really
14 aren't spread out. They really live along the roadways in
15 small towns, at the crossroads.

16 So there are adjustments in Release 2, just as
17 there are adjustments in BCM2, to reflect the fact that that
18 equal distribution certainly does not occur in low density. To
19 the extent that it's still assumed in the other density zones,
20 it's a cost-maximizing constraint if you will.

21 The underlying principle of the model is that if
22 there are going to be mistakes, they should err on the high
23 side if you will. There is a principle of conservatism here.

24 By assuming equal distribution you calculate a
25 maximum cost amount. To the extent that people aren't equally

1 distributed, if they're clustered, it can cost less than the
2 model predicts, but it can never cost more.

3 It can never cost more to serve people than it
4 would cost if they are absolutely evenly distributed, because
5 you get no economies of clustering that way.

6 Q The model further assumes -- does it not? -- in
7 designing a network to service these 100 people in my
8 hypothetical, that that network travels always in the shortest
9 path between any two points in that track; is that correct?

10 A No, sir, that's not right.

11 Q How was that factored into the model?

12 A If you look at -- it comes down to what we used to
13 call route-to-air ratios in the old days. If you look at two
14 locations, and you can get those locations specifically on what
15 are called V&H coordinates, on a grid --

16 Q Explain what you mean by that. What does it stand
17 for? Just say what it stands for.

18 A I'm sorry, sure. Vertical and horizontal. It's no
19 sexier than that.

20 There is a grand map of North America with a full
21 set of V&H coordinates. And you can locate wire centers
22 specifically, and actually beyond the wire center level in some
23 cases, the exact location of any given facility. And you can
24 then go to the LERG, the local exchange routing guide --
25 L-E-R-G, sorry -- and get the V&H coordinates for given end

1 locations in given locations.

2 You can then, using simple geometry, calculate the
3 airline distance between two points, based on their V&H.
4 That's just the hypotenuse of the right triangle.

5 What the model actually does is not assume airline
6 distances, but actually assumes what's called rectilinear
7 routing, which means that the routes move east-west and
8 north-south, but not southwest, northeast. And that's a very
9 typical process. It's one that's used by incumbent LECs; it's
10 one that's used by GTE.

11 In a sense you've got facilities that, if you were
12 to draw -- if they're on a diagonal in a relationship, if you
13 were to draw that diagonal on an Etch A Sketch you would get
14 something like -- something like I'm motioning that's going to
15 be impossible for the court reporter to incorporate.

16 But it's going to be east-west, north-south, which
17 is a longer distance and a higher cost, the model built on that
18 assumption not a shortest-distance assumption.

19 Q To what extent does the model take into account
20 various zoning regulations, for example, that may affect what
21 path that network and those wires must travel?

22 A Well it does that in a couple of different ways.
23 It assumes longer routes in higher-density zones, because you
24 would expect that in more populated areas you would be in a
25 town. And towns are much more likely to have zoning

1 requirements on -- well they're more likely to have two
2 things. They're more likely to have streets laid out in a grid
3 that would require your facilities to actually move in that
4 fashion, and they're more likely to have requirements on where
5 you place the facilities.

6 So there has been an increase in high-density zones
7 to reflect the likelihood of zoning. Now to do 49 states, the
8 model developers have not gone to each municipality in all 49
9 states, looked at their zoning requirements and made a specific
10 adjustment. The adjustments have been made in a more general
11 way than that, but it incorporates that.

12 The other is that there is an adjustment for
13 difficult placement areas if there are -- and this applies in
14 an urban or rural setting -- if there are, based on the
15 geological survey data, difficult areas in which to place
16 facilities, the model adds distance to route around those
17 areas.

18 So in a couple of different ways it gets at the
19 concern I think you're describing.

20 Q So, for example, if in a particular tract there is
21 a lake or a swamp, the model for that specific -- in projecting
22 the cost for that specific tract has a factor or formula in
23 there that takes all that into account for that?

24 A Yeah. And it wouldn't just be a high water table
25 which would be a swamp or a body of water. It would be bedrock

1 that's just beneath the surface would make it very hard to
2 place a facility, whether it be pole or conduit.

3 What -- what's been described to me -- and you have
4 to look at the USGS data and then try to fit words to what
5 they're describing. But what's been described to me as
6 bouldery situations, where you have lots of big rocks on the
7 surface, it's hard to place things that way too. Mountains
8 certainly. So you route around those in most cases.

9 And the model has -- increases the distance
10 correspondingly to that.

11 Q Does the survey data from the -- the U.S.
12 Geological Survey data contain data with respect to water
13 tables?

14 A I believe it does.

15 Q And that's broken down by district, by tract -- by
16 census tract?

17 A It's broken down at some level. I think everything
18 that's -- I'm absolutely certain that bedrock depth, soil types
19 and surface conditions, if you will, that those factors are at
20 a CBG level. It's my understanding that some of the other data
21 is also at that level.

22 But those aren't ones that I've gone through in the
23 confirmation process. So they may be a bit more aggregated.

24 Q Let me go back to the point you talked about before
25 about misassignment to wire centers.

1 A Yes.

2 Q That is a phenomenon that has occurred with this
3 model; has it not?

4 A Well we've at least identified two states in which
5 some have been identified. And we're talking in the order of 1
6 percent or less. But, yeah, if you assume that all CBGs home
7 on the nearest wire center, it appears that you're correct 99
8 point something percent of the time.

9 To the extent that there are exceptions to that
10 rule, those adjustments have been made. It's not a difficult
11 process to go into the model and re-home a given CBG or two.

12 Q What is the basis for your testimony that it is
13 accurate 99 percent of the time?

14 A Because we've looked at this in quite a few states,
15 and I'm only aware of two exceptions, and those exceptions were
16 a very manageable number of CBGs as a part of a very, very
17 large number of CBGs. So that's my back of the envelope. But
18 I haven't seen higher numbers than that.

19 Q Let's take Florida as an example. What study has
20 been done to ensure that wire centers have been properly
21 assigned for the state of Florida?

22 A Well the developers have gone through and matched
23 them as clearly -- as closely as they could. They go
24 through -- it's a two-step process as I understand it. There
25 is the pure match them to the closest wire center, and then

1 there is a sanity check on that process. Both of those have
2 been done.

3 Quite honestly the third level check that's been
4 done in other states is that incumbent companies who have a
5 vested interest in showing us where we're wrong have certainly
6 not been shy about doing that. I suspect, although I don't
7 know, that GTE has performed a similar analysis and has
8 identified any misassignments.

9 Q Let me bring you back to Florida if I might. Who
10 has done the study that you have just described in determining
11 whether the wire centers have all been properly assigned for
12 the state of Florida?

13 A Those are the Hatfield developers. They go through
14 that process before they release the model.

15 Q You understand that that study has been done for
16 every single state, and the only two errors they found were one
17 in Pennsylvania and one in the state of California?

18 A No, that's a misstatement. What I said is that
19 there was a two-step process in the model development process.
20 One is to go through and match them to the closest wire
21 center. The second is to go through and do a sanity check.

22 If you go down and look and see for a fact that
23 there is a river -- intervening river or mountain range, you
24 make manual adjustments. And there have been lots of manual
25 adjustments prior to the release of Release 2.

1 The third process is the one I described, which is
2 incumbent companies with a vested interest in finding some
3 misassignments. And the only misassignments that I've seen
4 identified were Pennsylvania and California. There may have
5 been others more recently than that. We've all been on the
6 road quite a bit.

7 Q And probably will be some more.

8 A I'm afraid so.

9 Q Let me switch subjects a little bit for you. We
10 discussed earlier the need and the importance of doing rate
11 sensitivity analyses on cost models such as the Hatfield model;
12 do you recall that?

13 A Yeah. We want to make sure that to the extent the
14 outputs are sensitive to changes and certain inputs, you want
15 to get an idea of what the important inputs are.

16 Q And have you done or performed any type of rate
17 sensitivity analysis on the inputs for the Hatfield Model
18 Release 2?

19 A I'm sorry, for these two --?

20 Q For Release 2.

21 A Oh, I'm sorry. I want to move away from your
22 phrase of "rate sensitivity analysis." I'm not sure what that
23 means. I have certainly looked at this model very carefully in
24 terms of changing these 400 variables we've been talking about,
25 see what the differences are.

1 I understand that Dr. Duncan went through that
2 process, but with an earlier version of the model. And
3 fortunately I think the conclusions that he reached at that
4 time were not valid for this version of the model.

5 Q There is a process by which, using econometrics or
6 some other analysis, you can identify which inputs, if changed
7 a fixed percent, would have the greatest effect on the ultimate
8 output; correct?

9 A Yes, you can.

10 Q And what is that analysis called? What term do you
11 use?

12 A Well I call it actually -- I describe it exactly
13 the way you described it. I call it that process that you use
14 to determine which inputs are important.

15 Q Let me describe it as "that process."

16 A That's fine.

17 Q Have you done that process on Release 2 of this
18 model?

19 A I've done that process in a decidedly nonacademic
20 and unsexy way, which means I have done it not by creating
21 dazzling mathematics by any stretch of the imagination, but
22 actually by going through and changing input values.

23 I've done really two things; one is an attempt to
24 determine what's important, and the other is an attempt to
25 establish the condition that I think Dr. Duncan was concerned

1 about, the linear homogeneity constraint. And I've done that
2 type of analysis, and the model complies with that one as well.

3 Q When you did that process, would you identify for
4 us the six inputs that you determined were the most sensitive
5 to the value of the output?

6 A I think you mean that the other way around. I
7 think you mean to which the output was most sensitive to the
8 input. I don't know if I can do six. I will tell you offhand
9 the ones I recall.

10 Certainly the fill factor assumptions are
11 important. The underlying investment -- the cost of acquiring
12 materials is very important. And the conversion of -- the
13 assumptions underlying the conversion of investments into
14 costs -- what's normally referred to as annual cost factor
15 development or annual charge factor development, the fraction
16 that you use to convert an investment into an annual cost.

17 The Hatfield Model uses that same fundamental
18 process that GTE uses and the other incumbent LECs use. The
19 assumptions underlying that with regard to expenses also make a
20 difference.

21 Q Can you identify any other inputs that you can
22 recall as you sit here are particularly important in a
23 sensitivity --

24 A Well I guess we can do particularly important by
25 the most sensitive working all the way down through the 400. I

1 think those are probably in a category by themselves. There
2 may be a second category with regard to structure placement,
3 for example, that's pretty important.

4 Q What type of structure are you referring to?

5 A I'm talking about poles, poles and conduit and
6 trenches. When I say "structure," outside plant structures.
7 That seems to be fairly important. Surprisingly -- well and
8 depreciation is important, but only in the second tier.

9 Surprisingly enough, cost of money assumptions
10 don't really have the impact that you would expect them to.
11 It's not that important, partially because there are so much
12 expenses I think that are not capital related.

13 And depreciation has some impact. It's not a
14 linear relationship. Cutting depreciation lives in half don't
15 double the costs, for example.

16 Q How sensitive is the inputs for drop wire length,
17 the ratio of buried cable versus aerial cable and the like?

18 A Well it certainly -- well it matters, but not much
19 overall if you change drop wire assumptions. You know,
20 obviously if you're talking about just the cost of the drop
21 wire, if that's the discrete component you're looking at, then
22 of course it matters a lot if you change that assumption.

23 If you look at a distribution calculation, that
24 portion of the unbundled loop, it matters very little. If you
25 look at the total loop it matters even less. So it depends on

1 what discrete component you're actually looking at.

2 Q Let's go and talk about the first input that I
3 think you mentioned as -- first was fill factors; is that
4 right?

5 A That's right.

6 Q What is the fill factor that has been input -- what
7 value has been input into this model?

8 A Oh, there are quite a few. They are plant
9 utilization assumptions specific to the type of facility and
10 the density of the area. And of course in some cases like loop
11 feeder, the length of the facility, because that's going to
12 determine a copper or fiber placement type decision. So there
13 are quite a few.

14 Q Do you have in front of you the input summary chart
15 that we talked about in the very beginning of this
16 examination? Attachment RAM-3 is what I've got, but there is
17 probably another reference I probably should have for the
18 record.

19 A I think I know what document you're talking about.
20 Yes, I have it.

21 MR. MELSON: Commissioners, if you want to follow
22 along, that's part of Staff's Exhibit DJW-6, beginning at page
23 75.

24 MR. FUHR: Thank you.

25 BY MR. FUHR:

1 Q If you look at page four of that document, that is
2 a summary of the values that were assigned to the fill factors
3 for this model; is that correct?

4 A That's right. Let me clarify that in two
5 respects. First of all those are the defaults that can be
6 changed if there is a reason to do that. And second, these are
7 maximums, they're not necessarily the actuals as computed in
8 the model.

9 Well -- and when I say "actual," let me be careful,
10 because GTE and the other incumbents use actual to mean current
11 traffic divided by total facility capacity. And what I mean
12 here is the actual utilizable capacity on a specific circuit.
13 That won't be higher than this, but it may very well be lower,
14 and the model calculates it that way.

15 Q On the left-hand side of this page, for example,
16 you've got four -- six rows. That is referring to the density
17 population of different tracts; is that correct?

18 A That's right. Actually it should be a little more
19 clear. That refers to line density, which certainly for
20 residents is a factor of population density. For business
21 lines it's a factor of total business employees in a given
22 area. But it's a line density number.

23 Q Okay. And the default values that are assigned for
24 these different line densities is contained in column two of
25 this chart; correct?

1 A That's right. And, again, those are the maximums.

2 Q And in column three you explain the source of the
3 data that you put in as the default value; correct?

4 A That's right. That's really how this document is
5 set up. The last column is intended to be some background
6 information on where the input assumption came from.

7 Q And the background information that you provide
8 here was that this data is taken from -- these default values
9 were reviewed and accepted by Telecom Visions based on
10 knowledge of a Bell practice that was published in 1951; is
11 that correct?

12 A Well actually there is a little more here, and I
13 think we need to put it -- state it a little more clearly.
14 There are Bell system practices that have been in place since
15 1951, and those are published in a number of what we now call
16 TRs since Bellcore was created, but had different nomenclature
17 prior to divestiture. And this one of course predates
18 divestiture. So there is a document reference there.

19 That data has been looked at carefully and updated
20 where appropriate, based on the outside experts that are
21 identified here. And, again, we're talking about maximums, not
22 actuals.

23 Q You mentioned that the column on the left refers to
24 line density as opposed to population density; is that right?

25 A That's right.

1 Q The data that you get from the census bureau is
2 population data; correct?

3 A That's right.

4 Q And you have to -- not you have to, but you did
5 make an effort to convert that into lines; correct?

6 A Well you have to, because what we are talking about
7 here is engineering a network. And the cost per unit, the cost
8 per line per subelement that we're looking at here is going to
9 be a function of how many total lines are being provided.

10 So if you don't make an effort to estimate the
11 total lines in a given area, then you're not going to have an
12 accurate assessment of what the cost is on a per-line basis to
13 serve that area. So it's not a did-we-have-to or
14 did-we-want-to, it's a we-had-to.

15 Q And what assumption does the model make with
16 respect to -- in Florida -- with respect to the number of lines
17 per resident in any given tract?

18 A Well it actually incorporates two different
19 things. It -- it models residence lines based on total numbers
20 of households. Now two things are true about total number of
21 households.

22 Some households have more than one line. I
23 certainly do. Some households have no lines at all. But if
24 you look at total lines and total households, and you true up
25 the household count to the total line count, which is what's

1 been done here, you're essentially incorporating both of those
2 factors in at once.

3 You're getting an assumption that is going to be a
4 line -- residential line count that accounts automatically for
5 the fact that there is less than 100 percent penetration and
6 automatically for the fact that there are multiple line
7 residences. So both of those are considered here.

8 Q And what assumption or conclusion does the model
9 have then with respect to the number of lines per resident --
10 or per household?

11 A Well it doesn't make that calculation directly,
12 just as it doesn't make the penetration calculation directly.
13 What is available is line count data, residence line count data
14 that GTE reports to ARMIS. I believe it's in report 4308.

15 It's clear that you have that data disaggregated at
16 the wire center level, but you don't provide it that way. So
17 it's necessary then to disaggregate that data. And the most
18 meaningful way that we've identified to disaggregate residence
19 line data that's been built up on some level is to look at
20 total number of households.

21 And when you weight it essentially by total
22 households you automatically compensate for the fact that there
23 is less than 100 percent penetration, and there are
24 multiple-line households. So there is neither explicit
25 assumption made, but with the true up to the actual residence

1 lines, you incorporate both of those.

2 MR. FUHR: Chairman Clark, could I indulge a
3 two-minute rest room break?

4 CHAIRMAN CLARK: We will take a break until five to
5 11:00.

6 (short recess).

7 CHAIRMAN CLARK: Let's call the hearing back to
8 order. Mr. Fuhr?

9 MR. FUHR: Thank you.

10 BY MR. FUHR:

11 Q Mr. Wood, do you still have before you page four of
12 the input summary exhibit that we've been looking at?

13 A Yes, sir, I do.

14 Q All right. That's the -- for the record, that's
15 the page that refers to the fill factors. In your testimony
16 earlier, Mr. Wood, you indicated that you took default values
17 for these fill factors and put them into the model. Did I
18 understand that right?

19 A Well I didn't personally. What is represented on
20 this page are the default values. In this -- in the case of
21 this page it's for feeder -- metallic feeder cable. They will
22 be different for different facilities, feeder and distribution,
23 and on different types of media.

24 But the model is based on a set of defaults that
25 can be changed but have not necessarily been changed. In the

1 case of GTE Florida they were not changed.

2 Q And you indicated also that when you take those
3 default values and put them into the model, that the model
4 changes those values to come up with the fill factor that it
5 actually applies; is that correct?

6 A That's right.

7 Q And would you describe how that process works.

8 A Sure. And I want to be careful, because I've been
9 calling this average fill, but average -- or actual. And
10 that's kind of been a term that's been commandeered by the
11 incumbents, including GTE. So let me call this realizable
12 fill, because that's different than objective.

13 There are really three different types. One is the
14 type of fill that is the break point that the company uses,
15 when a facility gets a certain amount full, the point at which
16 they begin to reinforce that facility.

17 Then there is an objective fill level that is less
18 than that. These are all set at less than the break points
19 where possible. But it's also a fact that as you deploy a
20 network, your realizable fill won't necessarily be this high
21 because of what's called cable breakage. And that's not actual
22 breakage of cable, it's describing a process in which cable
23 only comes in discrete quantities.

24 Let me give you an example. If you had -- it's
25 easier to do it with distribution. I can come back to feeder

1 if you like, but let me do this on distribution.

2 If you look at the line counts that you have to
3 serve a certain area, and you need to put into place the
4 capacity to serve 110 lines, for example, and you look up under
5 the default fill factor, and you see that that's .5, 50 percent
6 for that facility in that density zone.

7 So you would really then seek to put in 220 pair,
8 not 110 pair, because that would get you 50-percent
9 utilization. Well then when you go out to the reel yard where
10 those big reels of cable are and look, you find you can't
11 really buy a 220-pair cable, the next size up might be a
12 440-pair.

13 Then in order to serve 110 lines, you're actually
14 putting in 440 pairs instead of 220 pairs. So your realizable
15 fill, while your objective fill here, the default might be .5,
16 your realizable fill would actually be less than 30 percent I
17 think, if I did the math in my head correctly. It would be
18 smaller than that.

19 The same type calculation occurs on feeder, because
20 as you move away from the central office there is what's called
21 tapering of feeder facilities. You start out as you leave the
22 office with a very large facility. As you move away from the
23 office and have fewer and fewer people left to serve as you
24 move away, you actually taper that facility down.

25 And you can't do it in one smooth curve because of,

1 again, the discrete sizes that the facilities come in. So
2 you've got the same breakage issue with feeder as you do with
3 distribution.

4 And what you end up with is a look-up in the model
5 of what sizes of cable are actually available for these types
6 of facilities. That gets you your realizable fill, which is
7 always going to be equal to or less than this fill factor
8 that's stated here as the default.

9 Q Where in the documentation provided and made
10 publicly available with this model is that conversion process
11 laid out and explained?

12 A It's explained in what we've referred to as DJW-4.
13 And it may take me a minute to find it, but it is in here.
14 Just a second. It's probably in the description of the loop
15 module. It's going to take me a minute.

16 I will be glad to give you a page reference as I
17 find it. There is a discussion here, I believe a paragraph --

18 Q We've got a fair amount of ground to cover. So
19 when you find that if you would just provide that, and we can
20 move along.

21 A I will be glad to. If Mr. Melson will make a note
22 too to remind me, I will do that.

23 There is a paragraph in this document that has been
24 marked as DJW-4 that describes the fact that -- it describes a
25 series of tables that includes the default values, and then it

1 describes the fact that the actual values are always going to
2 be equal to or less than that because of this phenomenon.

3 Q How do the default values for these fill factors in
4 Release 2 of the Hatfield Model compare to those used by BCM2?

5 A They are -- I believe many of them -- well I think
6 the answer is, it depends. Some are -- in terms of BCM1, some
7 are higher and some are lower. Now BCM2, which is on the U.S.
8 West United tract of development, uses, as I understand it,
9 especially for distribution, some lower fill assumptions.

10 Q Do you know what those assumptions are?

11 A Not offhand. I've got that somewhere. I have laid
12 them side by side before, but I don't have that in my notebook
13 with me. It's my understanding that their description of why
14 they chose those factors is that they are calculating what
15 we've been referring to here as actual fill.

16 It's not an objective. It's not a break point for
17 reinforcement. It's actually a calculation of existing traffic
18 and total capacity.

19 And of course if you use that type of fill factor,
20 what you're doing is, you're including in the cost of unbundled
21 network elements essentially the costs of the incumbent LEC's
22 future broad band services, for example.

23 Q What do you understand is GTE's current fill factor
24 in the state of Florida?

25 A I have not looked at the Georgia -- at the

1 Florida-specific studies in this docket with regards to fill
2 factors, but it's my understanding that's been treated as
3 proprietary anyway. So I'm not sure I could tell you if I
4 knew. But I readily confess that I have not looked
5 specifically for those factors in what's been provided here.

6 Q What investigation -- strike that. What
7 assumptions does the model make with respect to the expected
8 growth if demand for the network in the long run is expected?

9 A It accounts for growth, but it does not do that by
10 making a specific projection of growth. If you want me to
11 explain that, the different facilities that compose the loop,
12 for example, are -- the costs are expressed on a per-unit
13 basis.

14 And what's described here is a logical means of
15 serving that demand, plus a good buffer, because part of the
16 reason that you have fill numbers less than one is that you
17 want to be able to accommodate some growth. And that expected
18 growth is built in by the use of the fill factors.

19 You should also keep in mind that to the extent
20 that there is future demand, there is more lines. So if there
21 is more costs in the numerator, there is going to be more lines
22 in the denominator. Since what we're trying to get our hands
23 on here is cost per line, it wouldn't make any sense to use
24 costs associated with the future demand without dividing by the
25 future demand.

1 And since we're using current lines, we're using
2 current costs. You don't want to mismatch the denominator and
3 numerator of that fraction.

4 Q Is the data contained in the second column here
5 under default unique to Florida?

6 A I'm sorry. We're back in --?

7 Q Back on page four on the fill factors.

8 A I'm sorry. I will catch up with you. The answer,
9 as I hope I explained before, is no. These are default
10 numbered, which can be changed but were not changed for the GTE
11 Florida run.

12 Q Is it fair to say then that the model assumes
13 implicitly that the growth in demand in the state of Florida
14 will be the same as that in the state of North Dakota?

15 A No, sir.

16 Q How does it account for the -- how and where in the
17 model does it specifically take into account the expected
18 growth in demand for services in the state of Florida, and
19 particularly the GTE service area?

20 A See, that's what I was trying to describe to you
21 before. Maybe I can do a better job. If you're looking at
22 distribution plant, and let's start from there. We are talking
23 about what's described as -- sometimes described as
24 user-designated equipment.

25 A lot of distribution plant is actual facilities

1 that are dedicated to a single user. As the total number of
2 users increases, the denominator, the total cost will increase,
3 that's the numerator. So on a cost-per-line basis, the extent
4 that their economies of scale is actually going to decrease
5 over time, we're being a little conservative here in using
6 current costs and current demand.

7 Now if you back up to feeder, which is what you're
8 pointing to on page four, the way you reinforce feeder is
9 actually a much simpler and less costly process. If you've got
10 loop carrier in place, in forward looking, at least anything
11 over nine kilofeet probably is loop carrier, you can actually
12 add capacity simply by adding electronics on each end of that
13 feeder facility. You don't actually have to replace the
14 facility itself.

15 Once -- on fiber it's very easy. Once the glass is
16 in place, if you will, you can make the effective or virtual
17 size of that facility much larger or much smaller merely by
18 trading out the electronics on each end. So that's not
19 something you actually have to go out to the field and do.

20 So you can accommodate growth that way on your
21 feeder plant. I can go through the rest of the elements.
22 Switching is also accounted for.

23 Q Well stick with these -- with these fill factors.
24 The same explanation that you have laid out with respect to
25 cable feeder would apply to those other values that are

1 outlined in subsequent pages; correct?

2 A Well I'm not sure what you mean. Certainly what
3 we've described here holds true. These are default values.
4 They are facility-specific values.

5 And the fact that they're less than one, part of
6 that reasoning, as it is with GTE studies or Bell studies, is
7 to accommodate growth, at least over some intermediate period
8 of time, and also to accommodate any -- peakiness is probably a
9 technical term I shouldn't use -- peakiness in the growth,
10 unexpected short-term levels of growth would be accommodated by
11 the fact these are less than one.

12 As we go out long-term, then you have to account
13 for growth both in the cost estimate and in the per-unit
14 devisor, if you will, and that takes two pieces of
15 information. Whether you do it now or later, it's still a
16 per-unit cost.

17 Q Let me go back to my earlier question. To your
18 knowledge has the author or authors of this model made any
19 attempt to investigate and project the likely growth for these
20 services and elements in the Florida market?

21 A No, because the way the model was constructed, it
22 would be neither necessary nor appropriate to do so.

23 Q Okay. In the distribution area, is the user able
24 to change the cable sizes within that area?

25 A I'm sorry. What do you mean by "cable sizes"?

1 Q Different cable sizes are -- values for different
2 cable sizes are input into this model; are they not?

3 A Actually let me get on the right page, because it
4 may be helpful if we're looking at actual examples.

5 Q I had not changed pages actually. I wasn't looking
6 at a particular page. I'm just asking you the general
7 question --

8 A The answer is yes and no. Certainly the cost per
9 foot is something that's user definable. That's something that
10 you simply go out to a vendor and let them quote you a price.
11 And that's how the model developers used that.

12 The discrete sizes of cable I suspect may not be
13 user definable, because it wouldn't make any sense to do so.
14 You can't buy a 236-pair cable from any vendor. They're going
15 to make cable in discrete sizes, bundles of certain numbers of
16 copper strands or fiber strands. And you buy one, or you buy
17 the next size up or the next size up after that.

18 So to the extent that you're asking about bundled
19 cable sizes, they're only offered in certain discrete
20 quantities, and you wouldn't necessarily need to be able to
21 change that, because you couldn't buy it if you changed it.

22 Q Would you identify which inputs contained in this
23 summary impact the output for loop cost?

24 A I can go through page by page. I can tell you
25 generally they're going to be -- depreciation lives certainly

1 is going to matter. Cost of capital is going to matter. The
2 variable overhead factor is going to matter; taxes, let's see,
3 network operations, NID, feeder fill, distribution fill,
4 distribution structure, distribution installation, copper
5 feeder structure, copper feeder installation, fiber feeder
6 structure, fiber feeder installation, drop NID internal
7 investment assumptions, structure factor shares related to
8 telephone, serving area interface investment, digital loop
9 carrier investment, and I believe that's all.

10 Now I -- what I -- let me be clear. What I'm
11 giving you here are the categories as I've written them down as
12 a guide to the document. There may be within each of those
13 categories I gave you a number of different specific inputs
14 that makes that list much longer. But that's the overview.

15 Q With respect to those inputs, how many of those
16 values have been drawn specifically from the Florida GTE
17 market?

18 A I -- well we will have to go back through.

19 Q Let me approach it this way. Can you identify any
20 of those inputs that contain values that were derived
21 specifically from the GTE Florida market?

22 A No. As I described to you before, these are --
23 national defaults were used unless there was a reason to change
24 them. And there weren't any reasons that were identified. Now
25 the loop costs are in fact Florida GTE specific for a number of

1 reasons.

2 You can talk about cost per foot for a piece of
3 cable that doesn't change, but the number of feet of cable you
4 need certainly is GTE Florida specific. The size of cable you
5 need is specific.

6 The terrain -- while the cost of a pole isn't
7 assumed to be different, the cost of placing the pole is
8 certainly going to be different for GTE Florida, and that's
9 based on specific data.

10 So all of these things impact calculations that are
11 in fact specific to not only GTE Florida generally, but those
12 very specific geographic areas that we were talking about. But
13 not all of the inputs to those calculations will necessarily be
14 GTE Florida specific in order to accomplish that.

15 Q In the instances there which you said that is
16 specific to Florida, it is that way to the extent that it
17 relies on the census bureau data that we discussed at the
18 outset of your testimony; correct?

19 A In part, yes, and also on the USGS data, also on
20 the business line data, all of the data that gives you an
21 indication of line density, including the line count
22 information that GTE Florida reports in ARMIS 4308, all of the
23 USGS data that tells you about structure placement. There is
24 quite a bit of state-specific data, yes.

25 Q But it is not state specific in terms of how the

1 businesses or the citizens are disbursed within that census
2 tract for the GTE market of Florida; correct?

3 A Well if we're talking about the equal distribution
4 assumption that we discussed earlier, the answer is, yes, this
5 is a model. When you model reality you necessarily make some
6 abstractions. One of those is the equal distribution in all
7 but the lowest density CBGs.

8 And, again, in the interest of conservatism, that's
9 a cost-maximizing assumption. It can be less expensive to
10 serve the specific areas given the actual distribution of
11 people --

12 Q It can be, but it need not be; right?

13 A Right. But it can't be more. It can't be higher.

14 Q I didn't mean to cut you off.

15 A I'm sorry. No, I was finished. It is a -- that
16 assumption causes the model to report results that are the
17 maximum. The costs can be less.

18 Q And the model makes no effort to in fact attempt to
19 learn how the network has been mapped out within that census
20 tract in terms of trying to project the costs of doing so;
21 correct?

22 A Well that's right. It doesn't do that, because
23 that would be an embedded cost study. To the extent that it
24 uses existing investment or existing network architecture
25 beyond switching locations it would be -- and I think the FCC's

1 reasoning was right on this one. It considered that
2 possibility and said, no, that's clearly an embedded cost
3 study. It shouldn't be used.

4 Q And in terms of how routes -- or how the network
5 gets routed, before you talk about your north, south, east,
6 west paradigm, that, again -- there is no effort made to track
7 what is actually the case in the GTE-specific markets here in
8 Florida, for example; correct?

9 A No for two reasons; one is, what's assumed here in
10 the model -- and let's be clear. When they start modeling
11 feeder and subfeeder routes, they're not just winging it,
12 they're looking at Bellcore technical references that describe
13 what's been referred to as the fir tree arrangement, which is
14 the arrangement that the incumbent LECs use across the
15 country.

16 There is nothing -- there is nothing new about that
17 concept. It's a feeder facility that's essentially the trunk
18 of the tree that's being crossed by subfeeder structures that
19 look like the branches. And when you draw them out you tend to
20 see something that looks a bit like a Christmas tree at least.
21 Those have been done.

22 And the other thing we want to be very careful
23 about here is that, if you go out and map where GTE's
24 facilities currently are, not only are you doing an embedded
25 study, but you're also buying into an assumption that I don't

1 think is right, and that is that if GTE were to start from
2 scratch today and rebuild its network, that it would
3 necessarily route its facilities in the same way that it did
4 historically.

5 In fact there is very good evidence around the
6 country that I've seen that suggests if GTE were to start
7 today, they would not route facilities the same. In fact they
8 may not use the same number of switches.

9 So I think you would be making two errors in one if
10 you tried -- try to proceed to calculate forward-looking costs
11 based on existing facility routes.

12 Q In the latter point you just raised was implicit I
13 suspect in your earlier testimony that this model assumes a
14 scorched node approach; correct?

15 A That's right.

16 Q And in projecting prices and costs from this model,
17 that model assumes that the entire network design is variable
18 in terms of where it is routed and what is the most efficient
19 distribution of the system; correct?

20 A Well inherent in any scorched node type process is
21 an assumption that certain things are fixed and certain things
22 are variable. In this case, switching locations themselves are
23 fixed. And then how you would go out and serve the area around
24 those switches is variable on a forward-looking basis.

25 That's inherent in the assumption. It's not only

1 the right assumption, it's the assumption that underlines the
2 TSLRIC that this Commission has adopted and used previously.
3 So, again, there is nothing new in that assumption.

4 Q How realistic is the assumption that everything
5 else is variable when we heard testimony at the outset of this
6 hearing from Mr. Gillan that the network and the system that
7 GTE has put into place here is going to be the system for the
8 next 20, 30 years because no one else is going to be able to
9 afford to create another system?

10 A I wasn't here for Mr. Gillan's testimony, so I
11 don't know what the context of your comment would be.
12 Certainly it's reasonable to expect that it is going to take
13 time for new entrants to build their own facilities.

14 At the same time what we're trying to capture, and
15 I think appropriately, in a forward-looking economic cost study
16 are the costs going forward given switching nodes where they
17 are.

18 That's how costs are recovered, if they are, in a
19 competitive marketplace. You can invest today in the greatest
20 technology available, and it can be a good decision. But in a
21 competitive marketplace, if tomorrow a new technology comes
22 along, in order to stay competitive, you have to write it off
23 and go with the new technology. That's what you saw AT&T do
24 with a lot of microwave towers immediately after divestiture.

25 So if you're going to capture that process that

1 occurs in competition, then you're going to have to look at
2 forward-looking costs not embedded costs.

3 Q Looking at a couple of the inputs that you
4 indicated were material through a determination of the loop
5 cost, do you recall that list that you identified a couple
6 minutes ago?

7 A Yes, I do.

8 Q You identified installation as part of the equation
9 in determining what the loop cost would be; correct?

10 A Yes. And particularly, not only facility
11 installation, but structure installation, pole and conduit
12 installation, that's right.

13 Q And that includes a labor component; correct?

14 A Yes, it does.

15 Q In fact the labor component is more --
16 significantly more material than the material price or cost
17 component; correct?

18 A In some instances the labor is more material than
19 the material, that's right.

20 Q To what extent has the model attempted to identify
21 what the labor costs are in the state of Florida for this type
22 of installation?

23 A Well it's -- it draws data from two sources; one is
24 the MEANS database, M-E-A-N-S, and the other is the National
25 Construction Estimator. And it uses the '96 -- 1996 version of

1 both of those.

2 And that gives you construction estimates for some
3 very specific types of activities on a national basis. Now the
4 model does not and should not look at GTE Florida specific
5 labor rates, because those are not the right labor rates to
6 look at going forward.

7 Q I didn't hear the last word or two you said. Those
8 are not the right rates to look at because --?

9 A Going forward.

10 Q Going forward.

11 A If your labor rates are actually lower than what
12 you could actually go out and hire a subcontractor to do, which
13 is what's reflected in the NCE and the MEANS data, then these
14 costs are overstated, the results of the Hatfield Model.

15 If your costs are higher, that's a very clear
16 indication that there are some tasks that you shouldn't be
17 doing internally in the future, that you ought to be
18 subcontracting for, because you can do them cheaper that way.

19 So when we look at capturing on a conservative
20 basis forward-looking costs, these are the correct costs to
21 look at rather than GTE's current internal labor rates.

22 Q Is it fair to say that labor costs are one of the
23 most important costs in determining the ultimate loop cost?

24 A I think that's an overstatement. I think when we
25 look at specific things like structure, and we want to look at

1 the -- how much is material and how much is labor, labor is
2 certainly a significant cost of -- a pole, for example. It
3 costs at least as much to put a pole in place as it costs you
4 to buy the pole in the first place.

5 But then when we start aggregating these costs
6 together and look at that total loop cost number, labor is a
7 much, much smaller component of that cost.

8 Q And the model assumes that the labor component cost
9 is the same in every state; correct? It just uses a national
10 number?

11 A It uses the national numbers which could be varied
12 if there were an instance where there were a reason to show
13 that labor costs in a certain region of the country were higher
14 than the national average.

15 Q And the same is true with respect to the material
16 or structural component; correct?

17 A That's right. The materials are -- I think the
18 material assumption is quite defensible, because most
19 companies, including GTE, have national purchasing operations.
20 You're going to buy lots of poles, and you're going to use the
21 fact that you're a national company to give yourself some
22 buying power when you do that.

23 Q All right. One of the other variables I think you
24 said was an important one was depreciation?

25 A That's important, yes.

1 Q Okay. What does the model assume with respect to
2 depreciation lives?

3 A The model originally had last approved FCC lives.
4 It was updated to some public information from Bell Atlantic
5 Maryland. I was involved in that proceeding earlier this
6 year. And the Maryland commission on a very specific basis
7 gave new authorized depreciation lives.

8 Those were thought to be the best information to
9 use going forward, because in the context of that case, that
10 commission heard a lot about the development of competition and
11 the status of competition. So they incorporated a lot of that
12 type of consideration in their approved lives.

13 And since the degree of competition is changing
14 over time, and since these were the most recent data points,
15 those are the ones we used.

16 Q Since you indicated -- do I gather that the use of
17 that particular data is a recommendation that you actually made
18 to the authors of the Hatfield Model then?

19 A No. I was involved in the case, so I'm familiar
20 with it. I did testify in the case. So I have a level of
21 familiarity that I wouldn't have otherwise.

22 But it was not my recommendation, pro or con, that
23 they relied on. In fact I hadn't discussed it with them at
24 all.

25 Q Okay.

1 A I think they're right, but they didn't do it
2 because I told them to.

3 Q What analysis does the model make, or was made in
4 determining how these depreciation lives should be adjusted to
5 reflect the new world of competition that is set to break out
6 in this industry?

7 A Well we need to be careful when we talk about set
8 to break out, because what we're talking about here are not the
9 costs for GTE's competitive services. What we're talking about
10 here at issue are the costs associated with basic unbundled
11 network elements, what the FCC correctly I think characterized
12 as monopoly bottleneck functions that are likely to stay that
13 way.

14 If we're talking about monopoly functions, an
15 increase in competition for retail services really isn't going
16 to affect the rate at which you should recover your investment
17 in these assets for monopoly services. And if these weren't --
18 if unbundled network elements weren't monopoly services, AT&T
19 and MCI wouldn't be here so interested in purchasing them from
20 you.

21 So I don't think it would be appropriate to make an
22 adjustment to depreciation for these particular cost studies.
23 For your competitive services it may well be appropriate to do
24 so.

25 Q Just so the record is clear, the depreciation lives

1 are laid out on page one of this exhibit?

2 A I believe you're right. Yes, they are.

3 Q And the Hatfield Model uses these same lives in
4 projecting costs for every LEC in every state; correct?

5 A Not necessarily. It can use the last approved
6 depreciation lives if there are some that have been recently
7 approved. I can tell you in the BellSouth proceeding
8 that immediately preceded this one -- I've been caught in the
9 same verbal trap you have -- that Staff requested us to run the
10 model using the last approved depreciation lives for BellSouth,
11 and we did that. And they were able to see the results of that
12 analysis.

13 It was not a huge change. There was some -- it was
14 a very minor change, but there was a change.

15 Q And has that been done in any other instance?

16 A Oh, yes, absolutely. A number of states that I'm
17 involved in where --

18 Q For GTE.

19 A For GTE?

20 Q Yes.

21 A Very possibly in Oregon, although I will have to
22 confirm that. I apologize, I only have knowledge of the cases
23 that I will be testifying in. I don't think there were
24 recently-approved lives in North Carolina that were used.

25 I will have to verify, but I suspect that at least

1 in the cases I'm involved in, Oregon may be the only place that
2 those have been changed.

3 Q Okay. If you look at the next category of inputs,
4 cost of capital, still on page one.

5 A Yes.

6 Q The debt percent there, 45 percent, is that your
7 understanding of what the GTE percentage of debt is?

8 A No, it's not.

9 Q Is that, again, just a generic national number that
10 has been plugged in?

11 A Well it's only generic to the extent that the FCC
12 saw fit to approve it at one time. But it is -- we need to
13 look very carefully at the weighted average cost here, which is
14 the 10901, which is my understanding is not significantly
15 different than what GTE is proposing and is much, much higher
16 than the last weighted average cost to capital approved by this
17 Commission for GTE Florida, which I believe was on the order of
18 8.8 percent or so.

19 So at least in the context of moving this to a
20 state-specific basis we may have been a little overgenerous in
21 the cost to capital --

22 Q When was that approved?

23 A I've got an order number. It was order number
24 PSC-930108, and I apologize, it's probably then followed by a
25 TL, but I don't know for sure what letters follow the order

1 number. January '93.

2 Q In the support material column you indicate that
3 it's consistent with the preliminary results of cost of capital
4 studies. Do you see that?

5 A Yes.

6 Q Who is performing these studies?

7 A I don't know the individuals involved. I can
8 describe the studies to you. They look specifically at
9 federally reported numbers for -- consolidated numbers, inter
10 and intrastate -- reported through ARMIS for the period 1990
11 through 1995, which is the latest that's available.

12 It's simply a DCF analysis similar to what you do
13 in a standard rate case for that period for the companies on
14 total operations.

15 Q Let me jump ahead two pages to page three. You
16 have an item there identified as forward-looking network
17 operations factor.

18 A Yes.

19 Q I understand that that is a factor that has been
20 applied by the Hatfield Model to take historic costs, apply a
21 factor to them and declare them to be forward-looking costs; is
22 that accurate?

23 A Well that's a bit of a generalization. The process
24 here is to use the best available data. And if there were
25 forward-looking cost data at a sufficiently disaggregated basis

1 that's publicly available, that's what we would use.

2 Unfortunately, in order to meet the
3 publicly-available constraint, the developers of the model have
4 had to utilize ARMIS data quite a bit. Where there is now
5 information that suggests that that ARMIS data ought to be
6 adjusted going forward, those adjustments have been made.

7 And there are a couple of sources of the
8 adjustments. Network operations expenses have been identified
9 quite generally across the country as an area in which cost
10 savings are possible.

11 What's cited here is the New Hampshire study that
12 had a 30-percent expect -- figure for expected reduction in
13 those expenses. Pacific Bell recently filed information that
14 indicated that they expect a 56-percent reduction in those
15 expenses.

16 We didn't go that far certainly. In the context of
17 the Pac Bell testimony, I will say that 30 percent is probably
18 a bit conservative. But it is an attempt to use the data
19 that's available to adjust historic expenses to model
20 forward-looking expenses as closely as possible.

21 Q Is it fair to say that the model is dependent on
22 historic costs?

23 A No. I think -- I disagree with that as you've
24 stated. There are specific examples that I just described
25 where ARMIS-reported data, which is historical, is the best

1 available data. Now that is not to suggest that this is a
2 historic or embedded cost model. It is quite the contrary
3 something else.

4 If it's going to be made publicly available though
5 you have to go with what's publicly available and adjust it
6 where you have reason to do so. And network operations is an
7 example of that.

8 You start with ARMIS data. We have two published
9 sources of incumbent-like estimates that they produce
10 themselves that they expect significant cost decreases for this
11 account. And we've reflected the lower end of that range of
12 expected decreases.

13 Q What is H-A-I?

14 A Hatfield Associates, Incorporated, I suspect.

15 Q And so with respect to a number of the inputs --
16 and I don't want to belabor going through them individually --
17 where the support material states simply HAI assumption, that
18 is an assumption that some individual or individuals at
19 Hatfield & Associates has made?

20 A I wish they had explained that a little better. I
21 think that was a shorthand they used to get this document out
22 that I think should have been explained better.

23 It should read that there is quite a bit of
24 engineering expertise both within and outside of Hatfield
25 that's been relied on, a number of individuals with quite a few

1 years in the Bell system at Bellcore and other places. And
2 it's the collective experience of those people that leads to
3 those assumptions.

4 So I think that's a more accurate answer. I wish
5 they had flushed it out a little better in the document. We're
6 working on that.

7 Q Is it fair to say that if there were a documented
8 source of support for the various values that were chosen or
9 applied, that source is identified, and where none was
10 available, the HAI assumption was used instead?

11 A No. I think that's a shorthand that gets us beyond
12 the bounds of accuracy a little bit. Again, where it says HAI
13 assumption, we're talking about the collective experience of a
14 number of individuals with Bell system and Bellcore experience,
15 which means that they have throughout their careers relied on
16 quite a few documents, quite a few standard engineering
17 practices that have been put into place.

18 It's that career's worth of accumulated experience
19 that really goes there. This is not simply a process of, is
20 there a document, is there not a document. Because even where
21 you say HAI assumption, that represents I suspect quite a few
22 documents and quite a few years of experience.

23 Q And if those documents in fact exist, they are
24 documents I assume that are also publicly available?

25 A Yes. As I understand it, most of the technical

1 references can be obtained. And of course then prior to
2 divestiture they were called something else. But we're talking
3 about a lot of data here that's either proprietary, Bellcore
4 proprietary but made available to licensees, or public
5 information.

6 Q Would it be fair to say then that if a party were
7 to ask for all of this publicly-available documentation and got
8 no documentation with respect to a particular set of default
9 values, then, A, either -- then either, A, that documentation
10 does not exist, or, B, it is proprietary and not publicly
11 available?

12 A Or C, there are simply potentially hundreds of such
13 documents. I mean there are a lot of Bellcore technical
14 references that are issued essentially every day.

15 To the extent that a practicing outside plant
16 engineer is going to keep current with his profession, he's
17 going to rely on a continuing stream, if you will, of
18 documents. To the extent we've got a reference here that that
19 experience is being drawn on, it would be impossible for that
20 type of individual to sit down and say, well, I've relied on
21 the following 400 documents, and here they are.

22 I think that's another viable scenario and probably
23 the most likely explanation.

24 Q If, for example, on one of these items here that
25 simply states HAI assumption, if GTE wanted to obtain the

1 documentation that underlay those values, how should it ask for
2 that documentation?

3 A Well I think you just ask for it directly, and if
4 there are specific documents that are responsive, they would be
5 provided. If it's a case of a career's worth of documents on
6 which a number of engineers and other individuals have been
7 relying on, then I don't know how a response could be made to
8 your request.

9 I mean it's hard to put onto paper 25 years of
10 outside plant experience, for example.

11 Q The model assumes -- does it not? -- a fixed
12 allocation of cable, whether it's buried or aerial; is that
13 correct?

14 A No, sir, that's not quite correct. It actually
15 looks at different parts of the network, different types of
16 facilities and looks at, for different density zones, how that
17 facility would be placed.

18 In other words, in urban areas with very high
19 density you expect many more of those facilities to be in
20 conduit, for example. In rural areas you expect a lot more
21 poles. The model actually has, for each type of facility and
22 for each density zone, a different mix of aerial buried in
23 underground to reflect those types of realities.

24 Q And is it fair to say that with respect to the GTE
25 market in Florida there has not been any effort made to assess

1 the reasonableness of the percentages that were allocated,
2 except to the extent that it relies on this generic CBG data --
3 maybe I shouldn't call it generic -- but the CBG data for each
4 of the census tracts?

5 A There has been no specific study. But you have to
6 make your second qualification. There is nothing generic about
7 this CBG data. These are very discrete geographic units.

8 And the placement characteristics are going to vary
9 quite a bit by how dense an area of population we have. But a
10 rural area in Florida may very well look very similar in terms
11 of that structure next to a rural area in Texas, for example.

12 So I think the key distinctions here are not
13 whether -- whether we're on one side or the other of the state
14 boundary. The key distinctions are, is this high-density or
15 low-density area. Is it a place where it's easy to place a
16 conduit or hard. Is the bedrock in the way, that sort of
17 thing. Those are the true cost drivers.

18 Q On page 13 it indicates that the distribution
19 structure inputs pole spacing; the default value is assigned at
20 150; is that correct?

21 A 150 feet between poles, that's right.

22 Q Okay. And on the support material it states there
23 pole spacing is based on field experience of 35 poles per mile?

24 A That's right.

25 Q That's field experience here in Florida?

1 A That's field experience from a number of
2 individuals that have worked all around the country.

3 Q Have any of them worked in Florida?

4 A I believe Dr. Mercer, in his experience at
5 Bellcore, will have looked specifically at Florida examples.
6 But other individuals have worked specifically in other areas,
7 but I don't believe Florida is one of them.

8 Q Is there any other field experience in which you
9 are aware that Hatfield & Associates is relying for this?

10 A Again, this is a collective group of individuals
11 with 20-plus years' experience in outside plant engineering.
12 And, again, it's not so much the state specificity as it is the
13 other cost drivers; the density, the depth of bedrock, those
14 sorts of things. Those are incorporated.

15 Q If you look at page 21 of 31.

16 A Yes.

17 Q You have there the drop investment per line,
18 default value of \$40?

19 A That's right.

20 Q How is that derived?

21 A That comes from the New England Telephone Cost
22 Study, which was the only source of -- only public source of
23 drop investment that could be obtained.

24 Q What is the year of that study?

25 A 1993. I believe it's March 3rd, 1993.

1 Q And this would be an example where the labor
2 component of the cost is substantially larger than material
3 costs; correct?

4 A That's right. And to the extent that New England
5 labor is more expensive than Florida labor, this probably
6 overstates the costs for Florida a bit.

7 Q What New England region is it looking at?

8 A It's New Hampshire I believe.

9 Q And do you know for a fact that the New Hampshire
10 labor market is more expensive than the GTE market in Florida?

11 A The statistical data that I've looked at certainly
12 indicates that to be the case. But I haven't looked at it in
13 the context of this proceeding, no.

14 Q There has been a proceeding though in which you
15 looked at the GTE labor in Florida?

16 A No. But in previous employment I've had direct
17 responsibility for tracking different types of employment
18 statistics around the country in compiling and publishing that
19 data. And I have looked specifically at regional labor rates
20 in that context fairly extensively.

21 Q If you drop down four rows to average lines per
22 business location, do you see that?

23 A Yes.

24 Q And the default value there is four?

25 A That's right.

1 Q And would it be accurate to say that the Hatfield
2 Model assumes that the average -- that there are on average
3 four lines per business location, whether that business
4 location is in Tampa, Florida or Bismarck, North Dakota?

5 A Well it assumes, based on a review of different
6 sizes of businesses -- and, again, a big business will have
7 more lines; a small business will have fewer lines whether it's
8 in Tampa or Bismarck. This is the aggregation of that data
9 purely for modeling purposes to provide something that is
10 imaginable in terms of data.

11 Q What analysis was done in crafting the model to
12 project how that number will increase over time?

13 A Again, that number -- the increase in that number
14 over time would be reflected in the growth discussion that we
15 had previously. And absent repeating that discussion, I'm not
16 sure what else to tell you.

17 Q And in the support material it identifies certain
18 statistical abstracts. Do you see that?

19 A Yes, I do.

20 Q What are those statistical abstracts?

21 A I don't know, Mr. Fuhr. I was just looking at that
22 as you were looking at it. I have talked to the Hatfield folks
23 about how they -- their discussion of this particular input.

24 They did not indicate to me at the time of that
25 discussion that they were relying on statistical abstracts. So

1 I'm actually seeing it for the first time here as you are. But
2 I would be happy to find out for you.

3 Q Thank you. If you jump to page 26 --

4 CHAIRMAN CLARK: Mr. Fuhr, how much more do you
5 have?

6 MR. FUHR: I'm trying to speed this up.

7 CHAIRMAN CLARK: That's not an answer. How much
8 more?

9 MR. FUHR: Thirty minutes.

10 CHAIRMAN CLARK: Okay.

11 BY MR. FUHR:

12 Q Mr. Wood, looking at the page 26 of 31 --

13 COMMISSIONER DEASON: I'm sorry. I'm sorry. I'm
14 right here. I thought you said two hours last night, or was it
15 an hour and a half?

16 CHAIRMAN CLARK: No, it was two hours.

17 MR. GILLMAN: Mr. Fuhr wasn't here. And I gave --
18 I wasn't sure what it was. I knew it would be substantial.

19 MR. FUHR: I will see if I can go even faster.

20 BY MR. FUHR:

21 Q Mr. Wood, there are a number of inputs identified
22 on page 26 as well as other pages that indicate that they were
23 determined by -- as a result of discussions between Hatfield,
24 AT&T and MCI?

25 A Yes, I see that.

1 Q When do those discussions take place?

2 A Throughout the model development process. What
3 they -- specifically they did -- and, again, this is one that I
4 think they did a quick shorthand on which they described a
5 little better.

6 They actually got subject matter experts from all
7 three companies together who had detailed knowledge of these
8 issues to come up with their -- their best estimate based on
9 their experience.

10 Q And did you, I believe, describe in general those
11 discussions in your deposition?

12 A I don't recall this coming up in my deposition, but
13 I may be wrong.

14 Q I could be confusing you with other depositions I
15 read.

16 A I've been deposed a few times lately. I'm sorry.

17 Q Okay. Are there any inputs into the Hatfield Model
18 or other models such as BCM or BCM-PLUS on which it's relying
19 that are protected by copyright?

20 A The only example that I'm aware of would be the
21 McGraw-Hill study that is the underlying basis for a couple of
22 the data points on the switching investment curve. And there
23 is a copyright -- you can actually buy the document. Staff had
24 asked for it, and unfortunately my client had not paid the fee,
25 which is several thousand dollars, to McGraw-Hill to have

1 copying rights.

2 I would point out that there is a sanity check on
3 that information that makes me less concerned about getting at
4 the document, because the BCM2 developers have similarly
5 adjusted their switching investment curve -- and, again, these
6 are both incumbent LECs that are working on BCM2 -- to a curve
7 that lays down almost exactly on top of the Hatfield curve. So
8 they're very, very close.

9 Q Would you agree that the fiber-copper cutoff, cable
10 multipliers and the mix of aerial, buried and underground are
11 all fixed in this model?

12 A I'm sorry. We better do those one at a time. I
13 apologize.

14 Q The first was the fiber-copper cutoff.

15 A Oh, no, no, no, that's not fixed. That is an
16 adjustable input that -- the default is set at nine kilofeet.
17 In other words if you were going out a certain feeder distance
18 from a central office, where would it become more economic to
19 go to fiber instead of copper. That's user definable in this
20 model. It was not user definable in BCM1.

21 That was one of the shortcomings that were
22 identified, and that is what was changed.

23 Q The second one I mentioned was the cable
24 multipliers.

25 A I'm -- I'm sorry. What do you mean by "cable

1 multipliers"?

2 Q There is a multiplier maybe in one of the -- maybe
3 in one of the modules that is part of the model on the usage of
4 cable; is that not right?

5 A I confess, Mr. Fuhr, I'm totally at a loss as to
6 what you're referring to. I would volunteer a guess if I had
7 one.

8 Q We don't need to have -- I don't need a guess.

9 A Okay. I don't know what you're referring to.
10 There is nothing that's referred to in the documentation with
11 that label that I know of. So I --

12 Q And the third one was the mix of aerial, buried and
13 underground cable.

14 A Right. Those are assumptions that are different
15 for different types of facility, different parts of the network
16 and different density zones.

17 Q And those are all fixed?

18 A Well they're all set in the model, and they're
19 defaults that are set. That's not to suggest that it's not
20 possible to change them.

21 Q How does the Hatfield Model account for new
22 technologies?

23 A It looks at the most efficient forward-looking
24 technology that's available in the marketplace. The effort
25 here is not to -- it's to capture all of the economies that can

1 be captured by forward-looking investment, but at the same time
2 not to be speculative either.

3 We don't want to be speculating on the next
4 generation of ATM switches or photonic switches or that sort of
5 thing. So it uses the best of -- the technology that's
6 available in the marketplace today.

7 Q Mr. Wood, do you have before you your direct
8 testimony of August 26th?

9 A Yes, I do.

10 Q There are a couple of different areas I want to ask
11 you about, and some of them we may find that we've already
12 discussed in going through your summary chart.

13 On page two you indicate that the Hatfield Model is
14 consistent with sound economic principles generally and the
15 FCC's August 8 report and order.

16 A Yes.

17 Q At the end of page two, continuing over to page
18 three.

19 A Yes, sir.

20 Q Is it your opinion that the first report and order
21 reflects those same sound economic costing principles?

22 A With regard to costing, yes. I think -- it may not
23 always be true. I think in this case the FCC got it right with
24 regard to certain specific principles. And I actually list
25 those as my testimony goes on.

1 The reference is to the FCC order and why I think
2 the principles are correct. And those principles are
3 consistent with the TSLRIC principles that this Commission has
4 adopted and used as recently as the interconnection
5 proceeding. So there is -- there is no dispute that I'm aware
6 of.

7 Q To help out on the record, the testimony you just
8 referred to begins, I believe, at the bottom of page seven.

9 A I suspect you're right. Yes, you are, and
10 continues on then to page 12 or so I think.

11 Q Right. In those pages you identify certain
12 criteria that you believe the FCC specified as being required
13 in producing a cost model for these proceedings; correct?

14 A Well that's right. And whether or not those
15 requirements are still in place or not I guess is a legal
16 matter. But the reason that I pointed those out is that, what
17 those principles in the FCC order represent are not some
18 correction of the FCC in this order, they are in fact
19 well-established, sound economic principles. And the
20 underlying principles remain valid, regardless of the legal
21 issues associated with the FCC order.

22 Q Do you embrace and endorse each of the criteria
23 that the FCC set out and which you have identified in pages six
24 through 12?

25 A I think the answer is yes. And the only

1 qualification I would have to that is that there has been quite
2 a bit of interpretation with the discussion that starts on page
3 11, line 13 and continues on page 12, and that's the types of
4 costs to be included.

5 I think it's clear what the FCC meant. I
6 understand that there are different interpretations. I'm not
7 suggesting that I endorse every single interpretation of that
8 language. But I think mine is correct within the context of
9 the order. And with only that qualification, the answer is
10 yes.

11 Q Do I understand that from the top of page 11 that
12 it is your view -- and you may have indicated it elsewhere --
13 that the Hatfield Model is the model that you believe nearest
14 approximates the methodology called for by the FCC first report
15 and order?

16 A I think -- yes. It is not only the one that
17 closely -- most closely approximates, it's the only one that
18 I'm aware of that actually meets those criteria.

19 Q On page 14 of your testimony you identify three
20 professors whom you've indicated have endorsed the Hatfield
21 Model?

22 A Yes, sir.

23 Q Is that an endorsement that they made of the
24 original release, original version of the Hatfield Model?

25 A That's actually an endorsement that began with

1 their review of Release 1 and then included there also their
2 subsequent reviews of Release 2. I think the affidavit that's
3 cited here was probably filed when only Release 1 was
4 available. So that was their endorsement of Release 1
5 specifically, but I understand that Release 2 has been provided
6 to these same gentleman.

7 Q And is it your understanding that some of these
8 authors whose endorsement is trumpeted here are also retained
9 experts on behalf of AT&T?

10 A I suspect they are, although they certainly have
11 careers beyond that.

12 Q I believe you indicated you did not know when
13 Release 3 was going to be released; is that right?

14 A I don't know if or when there will be a Release 3.
15 I can only tell you what I described to you before, and that is
16 that there have been requests for some additional features that
17 might result in an additional release.

18 (Transcript continues in sequence in Volume 16.)
19
20
21
22
23
24
25