


BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

 In the Matter of : DOCKET NO. 960329-WS
 :
 Application for increase :
 in rates and service :
 availability charges in :
 Lee County by Gulf :
 Utility Company :

 Investigation of rates : DOCKET NO. 960234-WS
 of Gulf Utility Company :
 in Lee County for :
 possible overearnings :

SECOND DAY - EVENING SESSION
 VOLUME 5
 Pages 690 through 893



PROCEEDINGS: HEARING

BEFORE: COMMISSIONER J. TERRY DEASON
 COMMISSIONER SUSAN F. CLARK

DATE: Thursday, March 6, 1997

TIME: Commenced at 8:30 a.m.
 Concluded at 6:50 p.m.

PLACE: Elks club of Bonita Springs
 3231 Coconut Road
 Bonita Springs, Florida

REPORTED BY: ROWENA NASH
 H. RUTH POTAMI, CSR, RPR
 Official Commission Reporters

APPEARANCES:
 (As heretofore noted.)

1	I N D E X	
2	MISCELLANEOUS - VOLUME 5	
3	ITEM	PAGE NO.
4	CERTIFICATE OF REPORTERS	893
5	WITNESSES VOLUME 5	
6	NAME	PAGE NO.
7	JAMES P. ELLIOT	
8	Direct Examination By Mr. Gatlin	694
9	Prefiled Rebuttal Testimony Inserted	698
	Cross Examination By Mr. Reilly	715
10	Cross Examination By Ms. O'Sullivan	746
	Redirect Examination By Mr. Gatlin	758
11	ROBERT C. NIXON	
12	Direct Examination By Mr. Gatlin	760
13	Prefiled Rebuttal Testimony Inserted	763
	Cross Examination By Mr. Reilly	788
14	STEVE M. MESSNER	
15	Direct Examination By Mr. Gatlin	790
16	Prefiled Rebuttal Testimony Inserted	792
	Prefiled Additional Rebuttal Testimony	810
17	Inserted	
	Cross Examination By Mr. Reilly	813
18	Cross Examination By Ms. O'Sullivan	822
	Redirect Examination By Mr. Gatlin	834
19	CAROLYN B. ANDREWS	
20	Direct Examination By Mr. Gatlin	837
21	Prefiled Rebuttal Testimony Inserted	839
	Cross Examination By Mr. Reilly	859
22	Cross Examination By Ms. O'Sullivan	866
	Redirect Examination By Mr. Gatlin	878
23		
24		
25		

1 WITNESSES - VOLUME 5 CONTINUED

2 NAME PAGE NO.

3 ROMEO ANTONIAZZI

4 Direct Statement 884

5 KATHERINE GREEN

6 Direct Statement 888

7

8 EXHIBITS VOLUME 5

9 NUMBER ID. ADMTD.

10 36 (Elliot) JPE-1 through JPE-11 697 760

11 37 (Elliot) Requirements for
Class 1 reliability 733 78812 38 (Elliot) Recommended standards
for water works, selected
13 pages 742 78814 39 (Elliot) Section 12, Fire
15 Safety Design Standards and
Requirements 749 760

16 40 (Nixon) RCN-1 and RCN-2 762 789

17 41 (Messner) SHM-1 791 836

18 42 (Messner) Gulf Utility Company
19 response to Staff request for
late-filed exhibit dated 821 83620 43 (Messner) AWWA Manual No. 17
Page 42 830 83621 44 (Messner) Kleinschmidt Hydrant
22 Test 832 836

23 45 (Andrews) CBA1-5 838 878

24 46 Response to OPC Request 23 859 878

25

1	EXHIBITS - VOLUME 5 (CONTINUED)		
2	NUMBER	ID.	ADMTD.
3	47	detailed description Schedule B-3 notes	861 878
4	48	Response to OPC Request 32	862 878
5	49	Late-filed calculations	871
6	50	Adjustments necessary for CIAC Amortization	877
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

P R O C E E D I N G S

1
2 (Transcript continues in sequence from
3 Volume 4.)

4 **COMMISSIONER DEASON:** Call the hearing back
5 to order.

6 **MR. GATLIN:** Call Mr. Elliot to the stand.

7 - - - - -

8 **JAMES P. ELLIOT**

9 was called as a witness on behalf of Gulf Utility
10 Company and, having been duly sworn, testified as
11 follows:

DIRECT EXAMINATION

12
13 **BY MR. GATLIN:**

14 **Q** Mr. Elliot, have you been sworn?

15 **A** Yes, I have. I'm trying to figure how to
16 get this microphone on.

17 **Q** It sounds like it's on.

18 You have been sworn?

19 **A** Yes, sir.

20 **Q** But you have not testified today; is that
21 correct?

22 **A** That's correct.

23 **Q** Would you please state your name and
24 address?

25 **A** My name is James P. Elliot. My business

1 address is 1334 Lafayette Street in Cape Coral, Post
2 Office Box 1321, 33910.

3 Q Have you prepared testimony consisting of 15
4 pages for presentation this afternoon?

5 A Yes, I did.

6 Q Do you have any changes you wish to make to
7 that testimony?

8 A Yes, I do.

9 Q Would you tell us?

10 A On Page 3, Line 18, there is a typo on that
11 line. It should say Three Oaks WWTP or wastewater
12 treatment plant, as opposed to the WTP. And also --
13 I'd also like to delete one of the exhibit pages in
14 JPE-2, sheet 8 of 11.

15 Q Sheet 2?

16 A Sheet 8 of 11 in Exhibit JPE-2.

17 Q To delete it?

18 A Yes. That's fire flows taken from the
19 course of the Utility Company's system.

20 MR. REILLY: Excuse me. Your first
21 correction was a typo on Page 3, line what now?

22 WITNESS ELLIOT: Line 18. It refers to the
23 Three Oaks WTP. It should be --

24 MR. REILLY: Another W.

25 WITNESS ELLIOT: -- W.

1 **MR. REILLY:** Okay, thanks.

2 **Q** **(By Mr. Gatlin)** Does that complete the
3 additions or corrections?

4 **A** Yes.

5 **Q** With those corrections, if I were to ask you
6 those questions today at this hearing, would your
7 answer be the same as set forth in that prepared
8 testimony?

9 **A** Yes, they would.

10 **COMMISSIONER CLARK:** Mr. Gatlin, I have a
11 question. I thought for Mr. Biddy's testimony he
12 deleted testimony on the infiltration and inflow?

13 **MR. GATLIN:** Yes.

14 **COMMISSIONER CLARK:** And are you deleting
15 that same testimony?

16 **MR. GATLIN:** We haven't, but we should.

17 **COMMISSIONER CLARK:** Okay. I think it's on
18 Page 11 and Page 12.

19 **WITNESS ELLIOT:** Yes. Beginning on Line 7
20 of Page 11, the question and then the following
21 through -- answer which ends up on Page 12, Line 3,
22 delete that also.

23 **Q** **(By Mr. Gatlin)** All right. Now, would
24 your answers be the same?

25 **A** Yes, sir.

1 **MR. GATLIN:** May we have this inserted into
2 the record as though read, Mr. Chairman?

3 **COMMISSIONER DEASON:** Yes. Without
4 objection, it shall be so inserted.

5 **Q** (By Mr. Gatlin) Attached to your testimony
6 are some exhibits, correct?

7 **A** That's correct.

8 **Q** And there are how many now?

9 **A** 7. There's still 7 exhibits. We just
10 deleted one sheet of one of the exhibits.

11 **Q** JPE-1 is Rule 62-600.41 F.A.C. JPE-2 is
12 margin reserve. JPE-3 is Rule 62-55.315 F.A.C. JPE-4
13 is the engineering design information, definitions,
14 net positive suction head repumping systems. JPE-5 is
15 pumping storage tank diagrams. JPE-6 is Lee County
16 Land Development Code, Chapter 10, Article 3, Division
17 5, Fire Safety. And JPE-7 is January 14, 1997 fire
18 plug test results, San Carlos fire district DEP
19 permits. Are those your exhibits?

20 **A** That's correct.

21 **MR. GATLIN:** May we have those identified,
22 Mr. Chairman?

23 **COMMISSIONER DEASON:** Yes. Composite
24 Exhibit 36.

25 (Composite Exhibit 36 marked for identification.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REBUTTAL TESTIMONY OF JAMES P. ELLIOTT
BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
ON BEHALF OF GULF UTILITY COMPANY
DOCKET NO. 960329-WS

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS**

2 **A. James P. Elliott, 1334 Lafayette Street, Cape Coral, Florida, 33904**

3 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

4 **I am employed by Source, Inc., an engineering and planning firm, as President.**

5 **Q. PLEASE DESCRIBE YOUR EDUCATIONAL AND PROFESSIONAL**
6 **BACKGROUND?**

7 **A. I am a graduate engineer with a Bachelor of Science degree in Civil Engineering**
8 **from Kansas State University in 1968. I am a registered Professional Engineer in**
9 **Florida and Illinois. Prior to founding Source, Inc. in 1979, I was employed for**
10 **four years with Black Crow and Eidness/CH2M Hill ("CH2M Hill") in**
11 **Gainesville, Florida. At CH2M Hill, I was the Construction Service Manager for a**
12 **wide variety of water and wastewater projects in Florida. Prior to joining CH2M**
13 **Hill, I worked for Greeley and Hansen in Chicago for five years as a design**
14 **engineer, project manager, and resident engineer on water and wastewater**
15 **treatment projects.**

16 **Q. ARE YOU A MEMBER OF ANY PROFESSIONAL SOCIETIES OR**
17 **AFFILIATIONS?**

18 **A. Yes. I am a member of the American Society of Civil Engineers, American Water**
19 **Works Association, Florida Engineering Society, National Society of Professional**
20 **Engineers, Water Environment Federation, American Desalting Association, and**
21 **the Southeast Desalting Association.**

22 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THE FLORIDA**
23 **PUBLIC SERVICE COMMISSION OR ANY OTHER REGULATORY**
24 **BODY?**

25

1 A. Yes. I testified in three administrative hearings relating to Florida Department of
 2 Environmental Protection (then the Department of Environmental Regulation)
 3 permitting issues. I also testified before the Commission on behalf of Southern
 4 States in Docket No. 920655-WS and Docket No. 950495-WS.

5 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

6 A. The purpose of my testimony is to rebut certain portions of the direct testimony of
 7 Office of Public Counsel ("OPC") witness, Mr. Ted L. Bidy, and the testimony
 8 of Florida Public Service Commission (PSC) witness, Thomas M. Beard.
 9 Specifically, I will rebut some of the comments and assumptions made by Mr.
 10 Bidy and Mr. Beard.

11 **Q. ARE YOU FAMILIAR WITH GULF UTILITY COMPANY'S WATER
 12 AND WASTEWATER SYSTEMS?**

13 A. Yes, I am intimately familiar with Gulf Utility Company's water and wastewater
 14 treatment facilities including well fields, transmission/distribution piping systems,
 15 reuse facilities, collection systems and sewage pumping stations. Source, Inc. has
 16 provided continuing engineering services to Gulf Utility Company and its
 17 predecessor, San Carlos Utilities, since 1978. I am the Engineer of Record for the
 18 San Carlos WWTP, the Three Oaks ^{WWTP} ~~WWTP~~, the U.S. 41 Cascades water booster
 19 reservoir and pumping station, and the Corkscrew water booster reservoir and
 20 pumping station, as well as numerous wastewater collection/transmission system
 21 extensions and water transmission mains within the Gulf Utility Company system.

22 **Q. DO YOU AGREE THAT A MARGIN RESERVE SHOULD NOT BE
 23 INCLUDED IN USE AND USEFUL CALCULATIONS AS STATED BY
 24 MR. BIDDY?**

25

1 **A. No. A margin reserve is necessary due to the economic benefit of the utilities**
2 **customers, and for public health, safety and environmental protection**
3 **considerations. The margin reserve allows the utility to achieve some portion of**
4 **economy of scale benefit. If no margin reserve is allowed as Mr. Bidy suggests,**
5 **then the utility is forced to operate very close to the capacity limits at each facility**
6 **that can present significant health and environmental concerns. Lack of margin**
7 **reserve could result in circumstances in the utility system such as: inability to meet**
8 **fire demand, low water pressure, insufficient chlorine contact time, insufficient**
9 **treatment of water and/or wastewater, insufficient effluent storage or disposal**
10 **capacity, that can result in connection moratoriums. Without applying a margin of**
11 **reserve, the utility is forced into a continual design, permitting and construction**
12 **sequence that involves almost continuous work and review by several entities**
13 **including engineers, regulatory personnel, inspectors and others. This continual**
14 **effort would certainly increase costs to the utility and its customers. This is**
15 **definitely the case with Gulf Utility's Three Oaks W WTP. The master plan for this**
16 **facility was driven by the FPSC Used and Useful Policy which necessitated several**
17 **small phase increments. As a result, Gulf Utility has been in a continuous cycle of**
18 **design, permitting and construction since 1988 when the first phase of this facility**
19 **was constructed. Implementing small phase increments has been costly for Gulf**
20 **Utility Company and could have been avoided with a reasonable allowance for**
21 **margin reserve. DEP rules, in concept, require that utilities provide margin**
22 **reserve. Specifically, DEP Rule 62-600.405 titled "Planning for Wastewater**
23 **Facilities Expansion" states:**

24
25

1 **The permittee shall provide for the timely planning, design and**
2 **construction of wastewater facilities necessary to provide proper**
3 **treatment and reuse disposal of domestic wastewater.**

4 **A schedule of expansion activities is embodied in the rule. This schedule stipulates**
5 **that if the Capacity Analysis Report (CAR) indicates that less time than five years**
6 **of capacity remains in a wastewater treatment facility, then planning and**
7 **preliminary design of the expansion must be initiated and documented in a signed**
8 **and sealed statement provided by a professional engineer. If less than four years of**
9 **capacity remain, then the CAR must include a signed and sealed statement that**
10 **engineering plans and specifications for the next expansion have been completed.**

11 **If less than three years of capacity remain, a completed construction permit**
12 **application must be filed with DEP. And if less than six months remain , an**
13 **application for an operating permit for the newly expanded facility must be**
14 **submitted. Once the CAR identifies that less than five years of wastewater plant**
15 **capacity remains, the rule stipulates a process to follow that is intended to ensure**
16 **the facility expansion is completed in a timely manner which is always less than**
17 **five years. A copy of Rule 62-600.405 is attached as Exhibit JPE-1.**

18 **A five-year margin reserve for wastewater and water facilities is necessary to**
19 **enable the utility time to complete the expansion process. The purpose of Rule**
20 **62-600.405 is to ensure that at least a five-year margin reserve of capacity or that**
21 **the expansion process is in progress. Typically, the expansion process includes the**
22 **following elements: (1) solicit engineering proposals and negotiate engineering**
23 **contracts; (2) preliminary engineering and planning; (3) site surveying; (4) existing**
24 **facilities evaluation; (5) land acquisition and/or negotiation of reuse agreements;**
25 **(6) preliminary engineering design; (7) planning; (8) final design; (9) DEP-HRS**

1 **permitting; (10) local government permitting; (11) bidding; (12) secure financing; 7 0 3**
2 **(13) negotiate construction contract; (14) facilities construction; (15) preparation**
3 **of operation and maintenance manuals; (16) performance testing; (17) completion**
4 **certification documents and record drawing preparation; and (18) startup/**
5 **acceptance procedure. In my experience with Gulf Utility Company and other**
6 **utility clients, the expansion process can take a significant portion of the five-year**
7 **period. It is obvious that no margin reserve or inadequate margin reserve**
8 **allowance would preclude sufficient time for utilities to complete a prudent**
9 **expansion process. Overlapping expansion intervals do not make regulatory or**
10 **economical sense. If the Commission accepts Mr. Bidby's assertion that margin**
11 **reserve be discounted totally from this case, the utility's ability to provide**
12 **cost-effective safe and reliable service to its customers is, at the very least,**
13 **jeopardized.**

14 **Q. DO YOU HAVE ANY COMMENTS ON THE ONE MILLION GALLON**
15 **REJECT HOLDING TANK AT THE CORKSCREW WTP?**

16 **A. Yes. The concentrate holding tank to be constructed at the Corkscrew Water**
17 **Treatment plant site represents part of the cost-effective facilities being developed**
18 **to provide sufficient blending of concentrate effluent with wastewater effluent for**
19 **utilization as an irrigation source at the Villages of Country Creek and the Vines**
20 **golf course that provide the disposal of these flows. The tank is being constructed**
21 **as a component part of membrane treatment skid #3 at the Corkscrew WTP. The**
22 **late start on engineering and construction of the holding tank was awaiting DEP's**
23 **decision to either approve the holding tank or a deep injection disposal well.**
24 **When approval was given at issuance of the operating permit renewal for Three**
25 **Oaks WWTP Phase III construction, which controls all effluent disposal,**

1 engineering started. Construction is scheduled to start in February, 1997. These
2 facilities should be considered as a component of rate base.

3 **Q. DO YOU AGREE THAT THE OLD THREE OAKS WASTEWATER**
4 **TREATMENT UNITS' COSTS BE TRANSFERRED INTO THE**
5 **ACCOUNT OF PLANT HELD FOR FUTURE USE AS RECOMMENDED**
6 **BY MR. BIDDY?**

7 **A. No, I do not. The old treatment tanks are a necessary element in the Three Oaks**
8 **WWTP process to provide the required redundancy for on-line aeration and**
9 **clarifier units. These units are to be considered 100 percent used and useful in that**
10 **they are necessary for ensuring compliance with DEP Rule 62-610 requiring Class**
11 **I reliability. When the Three Oaks Phase IV expansion is completed, one of the**
12 **old treatment tanks will be modified and converted for use as a flow equalization**
13 **basin and the second tank used for effluent storage.**

14 **Q. DO YOU AGREE THAT THE COSTS FOR THE SECOND CHLORINE**
15 **CONTACT CHAMBER AT THE THREE OAKS WWTP SHOULD BE**
16 **HELD FOR FUTURE USE AS RECOMMENDED BY MR. BIDDY?**

17 **A. No, I do not. The second chlorine contact chamber is a necessary element in the**
18 **Three Oaks WWTP to provide required redundancy to the on-line chamber. This**
19 **second chlorine contact unit should be considered 100 percent used and useful as**
20 **it is necessary to assure compliance with DEP Rule 62-610 that requires Class I**
21 **reliability for this plant.**

22 **Q. DO YOU HAVE ANY COMMENTS ON THE FIRE FLOW**
23 **REQUIREMENT APPLIED IN THE UTILITY'S USED AND USEFUL**
24 **CALCULATIONS?**

25

1 A. Fire flow is provided by Gulf Utility Company facilities throughout the water
2 transmission and distribution system to meet instantaneous demands including
3 peak flows and fire flows. Fire flow tests are routinely conducted as a requirement
4 of the Lee County Development Standards Ordinance in support of new
5 development. The result of several fire flow tests are attached as Exhibit JPE-2.

6 Q. DO YOU HAVE ANY COMMENTS ON THE USED AND USEFUL
7 DETERMINATIONS PREPARED BY MR. BIDDY REGARDING THE
8 WATER SUPPLY WELLS?

9 A. Yes. Mr. Biddy has utilized the rationale that only that amount of water needed to
10 supply the system at the projected maximum day meets the used and useful
11 criteria. He further assumed that the San Carlos WTP would operate at capacity
12 with the Corkscrew WTP supplementing the remaining system demand. He did
13 not take into account the different types of systems involved and their methods of
14 operation. Furthermore, it appears that insufficient allowance was given to allow
15 for percent of reject water and blending water at the Corkscrew membrane
16 softening water treatment facility. It is not economically practical to operate the
17 type of membrane softening treatment facility for short time intervals. Mr. Biddy
18 also does not allow credit for additional wells to back up the wells in service.
19 According to "Recommended Standards for Water Works," Section 3.2.1.2, "A
20 minimum of two (2) sources of groundwater shall be provided." Paragraph
21 62-555.315 of Chapter 62-555.315, paragraph (1), (copy enclosed as Exhibit
22 JPE-3) reinforces the two (2) source recommendation and makes it a requirement
23 for permitting by DEP. Furthermore, Chapter 62-555 FAC requires that the utility
24 utilize prudent planning in the basis of design for the water supply and treatment
25 facilities for providing adequate service for the duration of the Permit issued

1 which local regulatory agencies interpret as being five (5) years. The used and
2 useful requirements must be in concert with accepted design practice and
3 regulatory requirements.

4 **Q. COULD YOU COMMENT ON MR. BIDDY'S STATEMENTS RELATIVE**
5 **TO FINISHED WATER STORAGE?**

6 **A. Yes, in particular I disagree with the concept presented in Mr. Biddy's testimony**
7 **that additional allowance for emergency storage due to the misconception that**
8 **storage can be reduced due to use of maximum daily flow (MDF) in design of**
9 **wells and treatment plant. It is standard practice to provide emergency storage**
10 **based on an assessment of risk and degree of system dependability. If emergency**
11 **storage allowances are arbitrarily discounted or reduced as Mr. Biddy suggests,**
12 **the concern is that the health, safety and welfare of the customer is being**
13 **jeopardized.**

14 **Q. MR. BIDDY INCLUDES A PROVISION FOR DEAD STORAGE IN GULF**
15 **UTILITY'S GROUND STORAGE TANKS. IS THERE DEAD STORAGE**
16 **IN GULF UTILITY'S GROUND STORAGE TANKS?**

17 **A. No. The Gulf Utility ground storage tanks were constructed on level grade such**
18 **that the centerline of the pumping units are above the bottom of the tanks. "Dead**
19 **storage" would indicate that a portion of tankage would not be pumpable or**
20 **available for use. This is not the case in the Gulf Utility facilities in that the**
21 **pumping systems in place have available suction head capabilities to allow**
22 **pumping the tanks to floor level without exceeding the allowance NPSH for the**
23 **pumps. It is common practice in South Florida to design systems similar to those**
24 **in place. Storage tanks are installed at ground level to eliminate high construction**
25 **costs for compacted fill under the tanks. In turn, local and state building codes**

1 require the electrically energized equipment be placed above a minimum, 25-year
2 flood plain which, in South Florida, can be as much as five (5) to six (6) feet
3 above normal grades.

4 Mr. Bidy, in his Exhibit TLB-2, did not include 29.3% or 838,000 gallons of the
5 total storage volume because he determined this volume to be "dead" or
6 "retention" storage. This storage volume must be included in used and useful
7 calculations. Each of the storage and pumping systems have been designed to
8 provide adequate heads at the pump suction; therefore, the storage volumes
9 deleted from used and useful calculations developed by Mr. Bidy should in no
10 way be considered as "dead" or "retention" storage and deducted from the
11 available storage volumes. Exhibit JPE-4 (reprinted from pump information
12 section of the Peerless Pump catalog) provides explanations regarding the
13 "definition of" and "determination of" net positive suction head. Also attached is
14 Exhibit JPE-5, sheets 1 through 3, which depict graphically the suction head
15 conditions for the pump installations within the utility's system. As these exhibits
16 illustrate, each installation has adequate available suction pressure to completely
17 dewater the storage tank.

18 **Q. MR. BIDY STATES THE FOLLOWING IN HIS TESTIMONY:**

19 **"EPA GUIDELINES ARE NORMALLY USED ON GRANT**
20 **APPLICATIONS FOR CONSTRUCTING MUNICIPAL WASTEWATER**
21 **SYSTEMS. PRIVATE UTILITIES DO NOT HAVE GOVERNMENT**
22 **FUNDING, SO THE COMMISSION SHOULD NOT APPLY SUCH A**
23 **LAX GUIDELINE IN THE USED AND USEFUL CALCULATION FOR**
24 **REGULATED UTILITIES. PRIVATE UTILITIES HAVE TO ACHIEVE**

25

COMPARABLE TO MUNICIPAL WWTPS."

DO YOU AGREE WITH THIS STATEMENT?

A. No. There is no basis to apply different standards to municipal wastewater systems and privately owned wastewater systems. Additionally, the used and useful concept is not used by municipalities when setting their utility rates.

Q. CAN YOU COMMENT ON MR. BIDDY'S STATEMENTS RELATIVE TO INFILTRATION AND INFLOW STANDARDS AND GULF UTILITY COMPANY'S PRACTICES?

A. Yes. Gulf Utility Company has an obligation to provide the best service possible at the lowest possible costs. I feel that Gulf Utility Company is striving to meet and maintain this obligation. Standard specifications, developed by Gulf Utility Company to which developers are required to comply, have more stringent requirements than those Mr. Biddy refers to in his testimony. The Gulf Utility Company standards require that infiltration allowance for gravity sewer systems installed shall not exceed 100 gpd/inch diameter/mile of pipeline. Furthermore, Gulf Utility Company specifies that watertight manhole castings be installed in flood-prone areas to reduce the possibility of sewer inflow. Gulf Utility Company has also conscientiously developed an ongoing program to locate and reduce infiltration and inflow into the wastewater system. As noted, Gulf Utility Company's MFR document, Schedule F-4 (Max. Month ADF = 0.673 MGD) and Schedule F-10 (Wastewater ERC = 3208) calculations reflect approximately 210 gpd/ERC. Population trends in Southwest Florida are slightly less than 2.5 persons per residential unit, which would equate to a flow of approximately 85 gpd within the Gulf Utility system. In my opinion, based on my knowledge of

~~system flows and review of historic biological plant loading trends, I do not feel that the Gulf Utility Company's wastewater systems treat an excess amount of inflow or infiltration.~~

Q. ARE THE GULF UTILITY COMPANY'S WATER TREATMENT PLANTS SIZED TO MEET INSTANTANEOUS DEMANDS LIKE FIRE FLOW AND PEAK HOUR DEMANDS?

A. No. The San Carlos WTP and the Corkscrew WTP were designed to meet the maximum day water demand as a minimum design requirement. Since the treatment capacities basis of design for these plants did not include instantaneous demands, deductions for such demands are not valid for inclusion in OPC's Used and Useful Calculations for water plant capacity. The single maximum day demand for water treatment facilities is in accordance with design standards and DEP rules and regulations, as well as utility construction practice. Instantaneous demands like fire flow and peak hour demands are included in the design basis for water storage and high-service pumping systems, not plant treatment process capacities.

Q. IS THE REFERENCE PROVIDED BY THOMAS M. BEARD, SECTION 12 OF THE "LEE COUNTY DEVELOPMENT STANDARDS ORDINANCE," AS EXHIBIT TMB-1, THE CURRENT COUNTY STANDARD?

A. No. The Lee County Development Standards Ordinance, Section 12, "Fire Safety Design Standards and Requirements," is not the latest revision. The current requirements are included in the "Lee County Land Development Code," Chapter 10, Article III, Division 5 - Fire Safety. A copy of the current requirements are

1 attached as Exhibit JPE-6; which replaced the requirements of Section 12 over
2 three years ago.

3 **Q. IS GULF UTILITY COMPANY REQUIRED BY LEE COUNTY TO**
4 **MEET FIRE FLOW REQUIREMENTS AS SUGGESTED BY MR.**
5 **BEARD?**

6 **A. No. The requirements of LDC Section 10-384(c), found in Exhibit JPE-6, state,**
7 **". . .The engineer, contractor or installer of water supply system in new**
8 **developments shall demonstrate, by actual test, the water supply system will meet**
9 **fire protection design requirements . . ." The Lee County Code makes no specific**
10 **requirement of the utility company. The Lee County Land Development Code**
11 **provides regulations for new developments. The County has no jurisdiction over**
12 **private utility companies for providing fire flow capacity for existing**
13 **developments. A large portion of the infrastructure including water transmission**
14 **and distribution systems serving existing developments and commercial areas**
15 **within the Gulf Utility franchise were installed prior to the adoption of the Lee**
16 **County "Development Standards Ordinance." An example of an "old" commercial**
17 **area that water mains were installed prior to the Development Standards**
18 **Ordinance is the Constitution Boulevard and the Rockefeller Circle area identified**
19 **by Mr. Beard. In these areas, the current Lee County Code requires that the**
20 **development justify whether or not fire protection design requirements are**
21 **satisfied prior to issuance of a construction permit. Supplemental measures such**
22 **as inclusion of lake draft tubes, sprinkler systems and rated intermediate fire wall**
23 **installation are allowed.**

24
25

1 Q. DO YOU HAVE KNOWLEDGE OF THE DIFFERENCE BETWEEN THE
2 FLORIDA CITIES WATER SYSTEM AND THE GULF UTILITY
3 COMPANY SYSTEMS WITHIN THE SAN CARLOS FIRE DISTRICT?

4 A. Yes. The portion of the San Carlos Fire District that is served by Florida Cities
5 Water Company is served by 16-inch and 24-inch trunk, transmission mains that
6 supply a much larger service area beyond the San Carlos area. Since the large
7 transmission mains traverse the northern portion of the San Carlos Fire District
8 area, the higher fire flow capacity is available as a benefit afforded by its
9 geographical location within the system. Florida Cities Water Company provides
10 comparable pressures and flows as the Gulf Utility Company's pressures and
11 flows to its customers at the distribution extremities of their system in south Fort
12 Myers and the Fort Myers Beach areas.

13 Q. HAVE YOU OR REPRESENTATIVES OF YOUR COMPANY
14 WITNESSED AND DOCUMENTED FIRE FLOW TESTS IN THE SAN
15 CARLOS FIRE DISTRICT AREA SERVED BY GULF UTILITY
16 COMPANY?

17 A. Yes. We scheduled and witnessed three (3) fire flow tests that were conducted on
18 January 14, 1997. These tests were conducted by a State-certified fire sprinkler
19 contractor. These tests were taken at the extremities of the Gulf Utility Company
20 service area at locations deemed deficient by Mr. Beard. The results of these fire
21 flow tests are attached as Exhibit JPE-7 The difference between the fire flow tests
22 conducted on January 14, 1997 and those conducted previously by the San Carlos
23 Fire Department is that the duration of the test was a minimum of ten minutes in
24 contrast to the three to five minute test conducted by fire department personnel.
25 Sufficient time was allowed such that a pressure drop was experienced at one or

1 more booster pumping stations that initiated startup of the high-service
2 distribution pumps designed to provide fire flow to the system. The starting and
3 shutdown
4 functions of the Gulf Utility Company booster pumping stations are automatic
5 based on system pressure. Test results provided in Exhibit
6 JPE-7 are a true representation of fire flow availability as the duration of a fire
7 event will be more than ten minutes.

8 **Q. DOES GULF UTILITY COMPANY PROVIDE FIRE FLOW TO ITS**
9 **CUSTOMERS?**

10 **A. Yes, as documented by the fire flow tests presented as Exhibit JPE-2 and Exhibit**
11 **JPE-7.**

12 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

13 **A. Yes.**

14
15
16
17
18
19
20
21
22
23
24
25

1 Q (By Mr. Gatlin) Were you here this morning
2 when the firemen testified?

3 A Yes, sir.

4 Q And you heard what they said?

5 A Yes.

6 Q Would you review the fire flow service on
7 Island Park, that old system and so forth?

8 A To my knowledge, the fire flow system on
9 Island Park is one of the oldest sections, and that
10 was put in back in the '80s and before that. And I
11 believe the backbone system there is an eight-inch
12 line that runs on Park Road, and then serves several
13 subdivisions up and down that road. It's an older
14 system designed before even they developed the
15 standards and ordinances working code.

16 Q Is there any obligation under the ordinance
17 or any other place that requires that the Utility
18 retrofit that system?

19 A Could you repeat that question, please?

20 Q Yes, I will. Is there any requirement under
21 the ordinance or any other place that would require
22 Gulf to retrofit that system?

23 A No, there is no requirement under Lee County
24 ordinances.

25 Q What about the fire service at -- is it

1 Breckenridge?

2 A Breckenridge.

3 Q Breckenridge, yes. What's the situation
4 there?

5 A That's an older subdivision, I would say
6 mid '80s. And my understanding of that, we were the
7 engineers in some of the first stages of the design on
8 that project and that system was designed for the
9 regulations at the time.

10 Q Has it been improved recently?

11 A I'm not knowledgeable of that.

12 Q All right. Would you review the service
13 along Route 41?

14 A Route 41 contains several loops and has been
15 upgraded pretty much continuously through the years.
16 And I believe that the fire flow flows along there
17 consistently, 1,500 gallons a minute or more, which is
18 basically the commercial area of Gulf Utility's
19 franchise.

20 Q Did you here Mr. Reilly ask Mr. Cardey some
21 questions relative to the Corkscrew plant site?

22 A Yes, I did.

23 Q Do you know what is there and what is
24 planned?

25 A The Corkscrew site was originally zoned by

1 my firm, and in that zoning case we prepared a master
2 plan that incorporated some of the elements that
3 Mr. Reilly referred to.

4 In doing a zoning case you put down the
5 ultimate maximum, the highest and the best use of the
6 land, and that did include an office building. It
7 doesn't mean it was contemplated to be built, that was
8 just the philosophy of the zoning cases.

9 Q Do you know of any contemplation now to
10 build that office building?

11 A No, I do not.

12 MR. GATLIN: Mr. Elliot is available for
13 questions.

14 COMMISSIONER DEASON: Mr. Reilly.

15 MR. REILLY: Thank you.

16 CROSS EXAMINATION

17 BY MR. REILLY:

18 Q Mr. Elliot, Staff and public counsel engaged
19 in a fairly extensive discussion with Mr. Moore trying
20 to quantify the capacity of the water and wastewater
21 lines that the Utility have extended to serve the
22 university. Would you be the best witness to try to
23 help shed some light on that subject?

24 A No. I personally don't have any knowledge
25 of that agreement. As I understand, the system is

1 designed by the engineers working for the university,
2 and it's all the sizes attended to in their demands
3 and such required in the developer's agreements. So I
4 don't have any knowledge really of the capacity of
5 that line.

6 Q I thought Mr. Moore said that he had
7 engineers review those specifications that the
8 university gave it --

9 A That's true.

10 Q But you were not the engineer to do that?

11 A That's correct, I was not the engineer then.

12 Q Do you know who was?

13 A I believe it was Mr. Ruskai.

14 Q And so there's no one participating in this
15 procedure who has professionally reviewed those
16 particular specifications?

17 A No, I don't believe so.

18 Q Do you, however, have personal knowledge
19 about what type of lines they are? I mean, are you,
20 for instance, aware that it's a 12-inch water main and
21 a 12-inch forced wastewater main out there?

22 A That's what I have been told, but I haven't
23 reviewed the plans or have any involvement in any of
24 that.

25 Q However, just based on your general

1 engineering understanding of the incredible
2 capacities -- or I'll change that word, just the
3 capacity of a 12-inch main, in your professional
4 judgment, would the capacity of those mains be far in
5 excess what would be required normally to service
6 those six buildings?

7 A I don't have any idea because I didn't do
8 the hydraulic analysis. If you don't know the demands
9 and you haven't performed the analysis, I mean, I
10 can't really speak to the capacity of those lines.

11 Q Would it be your judgment that either the
12 university would expect or require the Utility to
13 construct lines that were not sufficient to meet the
14 foreseeable phased construction of that university?

15 A I really don't know that.

16 Q I can see that we are going to get as much
17 information out of you as we got out of Mr. Moore.

18 Changing subjects. On your testimony --

19 A Yes, sir.

20 Q I would like to direct you to your
21 testimony, and perhaps we'll have more luck there. On
22 Page 5 you make the statement concerning a DEP Rule,
23 62-600.405. And I believe you even include a copy of
24 that rule.

25 A Yes, sir.

1 Q And we engaged in a very extensive
2 discussion of this rule in the Southern States case,
3 and I certainly will not burden this Commission with a
4 similarly long discussion of it. But you do make a
5 statement here, about down on Line 19, that the
6 purpose of the Rule 62-600.405 is to ensure that at
7 least a five-year margin reserve of capacity or that
8 the expansion process is in progress.

9 And my first question to you is which is it?
10 Is it that this rule, its purpose is to ensure
11 five-year margin reserve or that just the expansion
12 program is in progress?

13 A It's to ensure proper planning of the
14 facilities actually, which to me translates to having
15 a five-year margin reserve. In other words, there's
16 several increments that are in my testimony that are
17 also in the rule that you go through in that planning,
18 design, building, implementing and placing in service
19 that they have this fairly specific process involving
20 the last analysis report.

21 Q And you in your testimony, just above Line
22 19, you go on to say, for instance, when you have less
23 than three years capacity, the rule requires you to at
24 least have a completed application for the
25 construction of a plant; is that correct?

1 A In less than three years? Yes, in less than
2 three years.

3 Q And you somehow interpret that to have an
4 application ready to file where no construction has
5 even begun, that that, in your mind, indicates that
6 the thrust of this rule is to require a five-year
7 margin reserve?

8 A I would think the thrust is that basically
9 the thing allows for margin reserve or wants you to
10 consider margin reserve. And then in the specific
11 items that they have you go through the planning
12 process all the way through construction. Absolutely
13 a five-year margin reserve. That's just what I
14 interpret it to be.

15 Q But it's not found in the wording of the
16 rule?

17 A No.

18 Q And, in fact, you can get as close to six
19 months to complete, you know, no further capacity
20 beyond six months, before you actually have to have
21 the construction completed under this time schedule;
22 is that correct?

23 A That's not true, because six months is the
24 period of time it takes to assemble all the
25 certification documents and for DEP to translate that

1 construction permit into an operating permit. That's
2 everything has to be absolutely functioning at that
3 time. That's just the margin.

4 You know, what they are asking them to do is
5 to ensure that you have excess capacity in your system
6 so that you don't get right down to the wire and find
7 out that you are into a situation that's affected the
8 health, safety and welfare of the public.

9 Q And that really was my next question. Is
10 because the thrust of this rule is a planning process
11 to assure that there's a sufficient reserve capacity.
12 Is that not correct?

13 A That's correct.

14 Q And what I'm trying to get you to, perhaps,
15 agree with me, if you will, is that there's a big
16 difference between reserve capacity and margin
17 reserve. Whereas reserve capacity is an -- I guess,
18 an engineering concept of making sure that you have
19 sufficient capacity to meet growth and the needs of
20 the system. But margin reserve really speaks to who
21 is going to pay for that reserve, doesn't it?

22 A I don't view it that way. Going back to
23 this planning, the best analysis report is an integral
24 into the planning process and that that translates in
25 your prediction of how much reserve capacity you have

1 left in the increments of time; five years, six years
2 and on. I believe that that's very necessary to do
3 that. And that's having margin reserve. Otherwise
4 you get right down to the wire, and you are in
5 violation modes and everything else.

6 Q Would you not agree, however, that there's
7 nothing in 62-600.405 that speaks to the issue of who
8 should pay for whatever is the appropriate reserve
9 capacity?

10 A No, it doesn't speak to that.

11 Q And to the extent that we use that as a term
12 of art in a PSC proceeding, margin reserve by its very
13 term implies that current customers will bear that
14 cost; is that correct?

15 A I'm not familiar with that part of the case.

16 Q Well, you're saying that the purpose of the
17 rule is to ensure that at least a five-year margin
18 reserve; might change that wording to say, at least
19 from your view of it, which I don't agree that it's a
20 five-year term, but given that aside, that the purpose
21 of the rule is to ensure that at least a five-year
22 reserve capacity is preserved.

23 A Yes.

24 Q As opposed to --

25 A That's my opinion.

1 Q -- the more colored term of who's going to
2 pay for it.

3 A Right.

4 Q Which in my view is -- you would agree with
5 that. Thank you.

6 On Page 6, Line 20 of your testimony, you
7 state -- this is, now we are talking about the reject
8 holding tank. You say the tank is being constructed
9 as a component part of the membrane treatment Skid
10 No. 3 at the Corkscrew water treatment plant.

11 And I want to get a little better
12 understanding of what you mean "being constructed."
13 Are even the drawings, the detailed engineering
14 drawings, even finished as we speak today?

15 A Not by me. I don't know that for a fact. I
16 am aware of the permitting situation with that, and
17 that was part of the reason of the delays, is that
18 we -- as I go further in my testimony here, I was
19 aware of the disposal mechanism and the requirements,
20 the holding tank and the blending and all of that was
21 translated back to the operating permit for renewal
22 for the Three Oaks wastewater treatment plant even
23 though -- because that involved the blending and the
24 mixture of the concentrate and the effluent; that was
25 a common disposal thing. And then DEP was trying to

1 sort out those issues and so was the Company and that
2 added some delays.

3 So the permitting was tied into the --
4 that's how I have knowledge of the system. Now, I
5 didn't review the plans. The plans through the reject
6 storage tanks and the bid schedule and everything else
7 are done by others, but I'm not in that process.

8 Q Can you state that the permit to construct
9 the holding tank has even yet been approved?

10 A I believe that it has.

11 Q But you are not sure?

12 A I'm not 100% positive. I don't have the
13 permit in front of me.

14 Q But it is true that the date for beginning
15 actual construction of this tank has continued to
16 slip?

17 A Yes.

18 Q And I think there was another witness who
19 testified the latest date that they hoped to at least
20 begin construction was April of this year?

21 A Yep, I heard that in the testimony. And my
22 testimony as the time it was written and my rebuttal
23 testimony had February 1997 to start.

24 Q And yet rather amazingly this same witness
25 suggested that it would be completed by August of '97.

1 Is that your understanding, too, this construction?

2 A I think that's doable.

3 Q And the problem I have with that is it seems
4 that the Utility at one time says we need this big
5 margin reserve because it takes so long to permit and
6 construct these facilities. And yet when we come to
7 an issue of trying to get them on line for rate base
8 purposes, you know, we can do it in three months. And
9 that just creates a great tension for me.

10 So my question to you is: Even if they can
11 get this thing constructed -- I mean to say that it's
12 on line and permitted to provide service -- how many
13 months are we talking about? I mean, isn't it
14 realistic that this is not going to be on line until
15 1998 or later in your judgment?

16 A Well, it has a lot to do with the specific
17 facility you're talking about. You take the
18 components that are relatively simple. You have the
19 site already identified where this facility goes and
20 something like the storage tank -- I think it's a
21 prestress concrete type that Croom's can build
22 actually in a couple of months. That's one case.

23 If you are talking about, for example, the
24 expansion of the Three Oaks wastewater plant, that
25 will take a longer period of time if you had to go out

1 and negotiate reuse agreements, locate the land
2 application sites, go through the hydro-geological
3 investigations, you might have to wait for zoning of
4 the reuse site, and on, and on. There's a lot of
5 difference between an already zoned piece of property
6 that you can put a tank on; you just can't apply that
7 using your thought process or "Well, we can put that
8 thing out." That's true in some of the facilities,
9 but not generally.

10 Q Well, assuming the Commission is going to
11 grant some type of margin reserve, the next issue
12 becomes, well, how long will that margin be. And you
13 are suggesting five years; is that correct? For
14 instance, wastewater treatment?

15 A That would be ideal. That's not -- you
16 know, I've heard different values being used by the
17 witnesses.

18 Q But can't a utility --

19 A Zero.

20 Q Can't a utility engage in proper planning
21 and have the permitting process without spending great
22 sums of money and then actually have the window of
23 construction to be something closer to an 18-month
24 period where the large dollars are actually being
25 expended to physically construct the improvements?

1 A Not from my experience, no.

2 Q Then it's not reasonable to be able -- once
3 you actually begin, when you're through with all the
4 permitting and you're actually beginning construction,
5 it's not realistic to assume that you could construct
6 an expansion, let's say, of a plant in an 18-month
7 period?

8 A Not if you have to sell bonds and you have
9 to make -- secure some other local development orders
10 and some other things. I mean, I don't know how you
11 can discount the planning, the permitting, zoning and
12 all the other processes.

13 Q And I've conceded that. I think every
14 situation will be unique, and the time it takes to get
15 the financing or to get the permits and the approvals,
16 and the zoning is different. But I'm going to say,
17 other than there's some planning and engineering and
18 soft costs, I'll call it, could be borne by the
19 Utility -- I'm speaking of physical construction --
20 all that process has been done, preplanned; you've
21 kept up with these little reports, the DEP rules, so
22 you are anticipating your needs, and yet you've not
23 spent the large dollars to physically begin
24 construction. Are you suggesting that the 18-month
25 physical construction could not be reasonably

1 accomplished?

2 A I'll answer that. I believe it could be
3 done, and it may not be done. It depends on a lot of
4 circumstances.

5 Q Well, the size of the facility.

6 A That's right. The size of the auxiliary
7 facilities that have to be built, the companion
8 facilities to make that thing functional --

9 (Simultaneous discussion.)

10 Q But I'd be -- excuse me.

11 A -- sites.

12 Q But I'd be referring to just a typical
13 addition.

14 A It's just an on-site thing, a concrete tax.
15 Yes.

16 Q Okay. And this I might say both in terms of
17 water and wastewater; let's talk about this Utility.
18 Gulf Utility, if I'm not mistaken, both in terms of
19 its Corkscrew, as well as its Three Oaks facilities,
20 everything is in place. It's now a matter -- when you
21 are talking about adding capacity, you are talking
22 about adding skids or you're talking about adding
23 trains. The entire system now -- the treatment is
24 designed to receive additional phased increases of
25 capacity. Is that not true?

1 A That's true. However, I would like to
2 explain that in order to get a permit to put in a skid
3 or a train, you also need to have the industrial waste
4 permit that includes the disposal, and that could be
5 the real long element there.

6 And the same thing with the wastewater
7 plant. You're sure you can build, but, you know, you
8 can't get a permit unless you have the effluent
9 disposal. That's been some of the difficult things
10 that make Gulf Utility very unique.

11 Q Let's move on to the subject of Class 1
12 reliability.

13 A Yes, sir.

14 Q Page 7, Line 7 to 13 of your rebuttal
15 testimony you state, The old treatment tanks are a
16 necessary element to the Three Oaks wastewater
17 treatment process to provide the required redundancy
18 for on-line aeration and clarifier units; is that
19 correct?

20 A That's correct.

21 Q Now, when Public Counsel conducted its field
22 inspection on December 5 of '96, from what we could
23 determine, the tanks were physically off line and the
24 aerators were pulled. How can you help me understand
25 that this is providing any redundancy assistance at

1 all?

2 A Well, first of all, I'm not sure that the
3 aerators were pulled. I don't believe that would be
4 the case. It's required in the rules, and I think
5 there was a supplemental exhibit. There was some
6 discussion, anyhow, by one of the witnesses about
7 the -- the question of reliability really relates to
8 an EPA standard that requires that you have back up
9 components in a reuse system.

10 And we master planned this whole site from
11 the very beginning and respecting the used and useful
12 concepts of the PSC. In so doing we make maximum
13 utilization of all the facilities. And I'm giving you
14 a roundabout answer that, yes, those facilities were
15 necessary, and it was planned to convert those -- not
16 converts those tanks in Phase 3, but to use them as
17 the redundancy for those developments.

18 Q So it's your testimony that the aerators had
19 not been pulled out?

20 A I don't believe they have. I don't know why
21 they would have been pulled out.

22 Q But you don't have any firsthand knowledge
23 whether they were or they weren't?

24 A Last time I looked at the plant, they were
25 there.

1 Q Which was how long ago?

2 A It was probably a month ago.

3 Q I think we are going to try to hand out
4 something here and get you to comment.

5 A Is that the same thing you're handing out to
6 Mr. Biddy?

7 Q I think this is really just a DEP rule.
8 It's -- I think the one we are drawing some attention
9 to is DEP Rule 62-610.300, general technical guidance
10 related rulings and forms. Do you have that?

11 A Yes.

12 Q Just a question here. Concerning this rule,
13 if you look at 62-610.300(1)(c).

14 A Yes, sir.

15 Q Would you read that to me?

16 A (C) U.S. Environmental Protection Agency,
17 1974. Design Criteria for Mechanical, Electric, and
18 Fluid System and Component Reliability, MCD-05,
19 Environmental Quality and Structural Resources Center,
20 the Ohio State University, 200 Chambers Road, Room
21 310 --

22 Q Well, that's good enough. No, my question
23 is: This is an EPA manual; is that correct?

24 A That's correct.

25 Q Now if I have you flip over on the second

1 page of what I handed out is Rule 62-610.462. And
2 this is speaking of reliability and operator staffing.

3 A Yes.

4 Q And I think the relevant portion of this
5 rule is the first sentence of (1) Would you read
6 that?

7 A Following reliability requirements --

8 COMMISSIONER DEASON: Sir, just a second.
9 I'm right here.

10 WITNESS ELLIOT: Oh, you're looking at .2.

11 COMMISSIONER DEASON: Yeah, read a little
12 bit slower. Thank you.

13 WITNESS ELLIOT: Yeah, this isn't a test.

14 62-610.462 Reliability and Operating
15 Staffing. (1) The following reliability requirements
16 shall apply. Facility reliability shall have a
17 minimum Class 1 reliability as prescribed in Rule
18 62-610.300(1)(c) F.A.C.

19 Q Okay. So am I interpreting this correctly
20 to indicate the that this DEP Rule 62-1610.462 is
21 saying that to understand the guidelines for Class 1
22 reliability, you need to go to this EPA guideline? Is
23 that a fair understanding?

24 A That's correct. That's what we use.

25 Q Okay, good. Now if I can just take you --

1 we are going to hand out the second companion
2 document. And I believe these are just, of course,
3 selected pages of this fairly thick document. But I
4 suggest that it's hopefully the relevant pages.

5 And the cover sheet is on here, and it's
6 design criteria for mechanical, electric and fluid
7 systems and component reliability. And it's MCD-05.
8 Is this at least the cover sheet of what we are
9 talking about?

10 A That's the same standard as DEP that we use.

11 Q All right, sir. If I could -- okay.

12 According to Section 212.1.5.

13 A Yes, sir. On Page 20?

14 Q On Page 20. It requires a 75% of the total
15 design flow backup for final sedimentation basins and
16 filter; is that correct?

17 A That's correct. That's what it reads.

18 Q Excuse me?

19 A That's what it reads.

20 Q And you would agree with that?

21 A Yes. Sorry, the answer's yes.

22 Q And Page 22, if you look at 212.1.9,
23 disinfect at contact basins. And here I believe it
24 requires a 50% design flow backup for disinfection of
25 contact basins; is that correct?

1 A That's correct.

2 Q For Class 1 reliability?

3 A Yes.

4 MR. REILLY: If possible, I'd like to have
5 these two documents, just a composite, numbered for
6 me, please.

7 COMMISSIONER DEASON: Yes, they will be
8 identified as Composite Exhibit 37.

9 (Composite Exhibit 37 marked for
10 identification.)

11 MR. REILLY: And we'll say requirements for
12 Class 1 reliability will be a short title.

13 I'm sorry, was a number --

14 COMMISSIONER DEASON: 37.

15 MR. REILLY: I'm sorry, I didn't get that.

16 Q (By Mr. Reilly) Okay. If I could direct
17 you to your Page 7 of your testimony, Lines 17 through
18 21, you state the second chlorine contact chamber is a
19 necessary element in the Three Oaks wastewater
20 treatment plant to provide required redundancy to the
21 on-line chamber. You go on to say it is necessary to
22 assure compliance with DEP Rule 62-610 that requires
23 Class 1 reliability for this plant.

24 You go on to say, therefore, the second
25 chlorine contact chamber is needed because of this

1 Class 1 reliability requirement; is that correct?

2 A That's correct.

3 Q Now, my understanding of this Section
4 212.1.9 that we've just looked at in the EPA guideline
5 on Page 22 seems to require 50% design flow backup for
6 disinfectant contact basins; is that correct?

7 A That's correct.

8 Q Therefore, the Utility does not have to
9 provide 100% design flow backup for chlorine contact
10 chambers; isn't that correct?

11 A Well, that's in an ideal world. I mean, I
12 can qualify that. The original facilities, the two
13 plants we've referred to and the chlorine contact
14 tank, they were rated for 501,000 gallons per day.
15 And if I take the permitted capacity as DEP looks at
16 it, as being 750,000 gallons today -- per day, I come
17 up with figures that the existing clarifiers meet the
18 75% rule in that we oversized them through -- we have
19 an overflow rate surface settlement rate pouring
20 contact tank.

21 I think where you are headed to is basically
22 overstated by some slight margin, but I'm using the
23 permitted capacities the way he reviews it and not
24 based on some flow calculation that, I think, was
25 passed out in the correction to -- entered into the

1 exhibits by Mr. Bidy.

2 Q Okay. On Page 13, Line 16 of your
3 testimony, you state --

4 A Excuse me, what page is that in?

5 Q This is Page 13, Line 16, we are talking
6 about fire flow once again.

7 A Yes, sir.

8 Q And you speak of an example of an old
9 commercial area that water mains were installed prior
10 to the development standard ordinance. It's
11 Constitution Boulevard and Rockefeller Circle area
12 identified by Mr. Beard.

13 And my question is how much fire flow can be
14 provided in this area?

15 A I think there are some fire flows that were
16 taken in my exhibits, and I don't recall specifically.
17 I think it was somewhere in the -- over 1,000 gallons
18 per minute, I think. It's in my Exhibit JPE-7. It
19 says sheet 2 of 3. And in that exhibit, I think it's
20 1,213 gallons per minute at 20 psi.

21 Q And yet there have been other readings in
22 this area substantially lower than this?

23 A I don't think there's any that are
24 substantially lower than that. I think it's somewhere
25 around 1,000 to that number.

1 Q Not lower than 750?

2 A I don't believe so, not in that area.

3 Q Are there any commercial customers in this
4 area?

5 A Yes, sir.

6 Q And again, the requirements there would be,
7 of course, more than the residential?

8 A That's correct. I might ask you to clarify
9 it. What requirements are you referring to?

10 Q I guess we are talking about flow, flow rate
11 requirements to meet fire --

12 A But what requirements? County requirements?

13 Q I'm assuming the same ordinance that you are
14 talking about.

15 A Yes, that's the county land development code
16 you're talking.

17 Q Right. Now on Page 14 of your testimony,
18 Lines 21 through 24, you mention that fire flow test
19 duration should be at least 10 minutes instead of the
20 three to five minutes?

21 A Yes, sir.

22 Q And the reason is to let the water
23 distribution system sense the pressure drop and kick
24 on high service pumps to make up the pressure.

25 A Right.

1 Q And my question is: Isn't it correct that
2 the additional five to seven minutes can be
3 potentially fatal as far as controlling a fire,
4 particularly if the firefighters are responding to a
5 fire that's already been in progress for some time
6 before they even arrive?

7 A Well, their arrival time and the couple of
8 minutes, 10 minutes, I think you'd be fighting a fire
9 a lot longer than 10 minutes. And I saw the exhibits
10 that the fire marshal had, and in reviewing those I
11 can't debate their methodology or anything like that.

12 My statement here is geared for the
13 knowledge in the engineering of the system, that
14 that's the way the automatic system works. It's not
15 tripping the system to wait five or 10 minutes for the
16 system to respond. It's just in our conducting the
17 tests a little bit longer, we're allowing a real world
18 situation as to how the hydrant would react.

19 And I would think in the first two or three
20 minutes while they are hooking up the hoses, it's
21 going to take them -- and open that valve and get all
22 positioned, I doubt if that's going to be the critical
23 time period. There will be flow coming out of the
24 hydrant. I don't think they have a pumper truck
25 that's capable of pumping 2,500 gallons.

1 Q Would you then disagree that the normal time
2 period to test a hydrant and the recommended time
3 period, at least according to those documents brought
4 to this hearing by the firefighters, was three to five
5 minutes?

6 A No, I don't debate that. And I think one of
7 the exhibits referred to the logic behind not flowing
8 any more than three minutes is basically a water
9 conservation thing of being criticized as far as
10 depleting the water resources unnecessarily or
11 flooding out an area disposable to water. So there
12 were other mitigating circumstances.

13 Q Can I get you to look at Page 8, Line 14 of
14 your rebuttal testimony. You state -- we are talking
15 about water supply wells now. You state that further
16 it appears that insufficient allowance --

17 A Excuse me, what line?

18 Q Page 8, Line 14. You say: Furthermore it
19 appears that insufficient allowance was given to allow
20 for percent of reject water and blending water at the
21 Corkscrew membrane softening water treatment plant;
22 isn't that correct?

23 A That's what it reads, yes.

24 Q But isn't it correct that Mr. Bidy allows
25 15% of raw water for reject concentrate?

1 A I didn't pick that up in here.

2 Q Could I have you look at Mr. Biddy's TLB-2?

3 A I don't have that with me.

4 Q We'll see if we can just get you one real
5 quickly. (Tenders document.)

6 I'll help you find it. I believe it's on
7 Line 55. It says additional 15½ raw water supply is
8 used for Corkscrew water treatment plant as reject
9 concentrate. Does that aid you at all in
10 understanding his --

11 A No. My Line 55 doesn't have anything on it.
12 So I must be looking at a different -- could TBL-2,
13 Page 1 of 1?

14 Q Let me go see.

15 A It's the same line.

16 Q I see. It's still there, it's just
17 different.

18 A Okay.

19 Q This is one of those exhibits, I think, that
20 got updated and some lines changed. The content is
21 still there, if you see it, when I was directing you
22 to Line 56. So does that help you understand
23 Mr. Biddy's?

24 A Well, that's in the footnote. I'm trying to
25 find out where it's applied in the calculation.

1 Q I think it's Footnote 4. And in my version
2 it says "OPC's calculated used and useful percent."
3 And our percentage is --

4 A So you are allowing for the 85% recovery of
5 that. I see that.

6 Q Okay.

7 A Yes.

8 Q So he did, in fact, give an allowance for
9 that. Is that a proper allowance? Is that, in your
10 judgment?

11 A I'm not familiar with whether they're
12 blending any water at the site at this point in time,
13 but that would be an element.

14 Q I think this is not blending, although I can
15 ask you a question about that in a minute or two.

16 A I'm not aware of any.

17 Q I think it's a credit for lost water, right,
18 as a result of the whole process and that this is not
19 going to be finished product water. It is going to be
20 lost, right? A lost 15% credit.

21 A That's not a loss. That's inherent in the
22 process when you have a membrane separation process
23 you have the reject stream, and that obviously has to
24 be supplied by the well. So I think what you are
25 stating here is 85% recovery So I agree. Yes.

1 Q They were given a credit --

2 A Yes.

3 Q -- for that.

4 And my question is, is that appropriate or
5 did you think that our percentage is not correct?

6 A Yes, that's appropriate.

7 Q Okay. Now, on the issue -- I think you've
8 said you don't know about this, but I was curious
9 whether Gulf is, in fact, blending any raw water with
10 its -- well, the first question is can they. Can
11 they? Is their piping that permits the Gulf Utility
12 to physically blend raw water with finished membrane
13 product water?

14 A I think you have to ask Mr. Messner. I know
15 there was talk of blending as a method to providing a
16 different element into the treatment. They were
17 talking about a blend well on site that would add some
18 minerals back into the water for stability. And if
19 that's the case, then that should be included, too.

20 Q Okay. We are just going to hand out one
21 last little exhibit here. Then we'll rap this up.

22 COMMISSIONER DEASON: Mr. Reilly, do you
23 wish to have this identified?

24 MR. REILLY: Yes, please.

25 COMMISSIONER DEASON: Exhibit 38.

1 (Exhibit 38 marked for identification.)

2 MR. REILLY: And it's short titled
3 Recommended Standard for Water Works, just selected
4 pages.

5 Q (By Mr. Reilly) And what I'd direct your
6 attention to is not the cover sheet, but the next page
7 over. And isn't it correct that Section 3.2.1.1 of
8 the recommended standards for water works also states
9 that the total developed groundwater source capacity
10 shall equal or exceed the design maximum day demand
11 and equal or exceed the design average day demand with
12 the largest producing well out of service; is that
13 correct?

14 A That is what it reads, yes, sir.

15 Q And do you concur with this requirement?

16 A Yes. Let me add a footnote to that, if I
17 may.

18 Q Okay.

19 A A lot of that depends on the type of
20 treatment you have. We just discussed the membrane
21 process where you need a little bit more than the
22 maximum day demand because you have -- inherent in the
23 process you have a reject stream.

24 Q Okay. One last little bit of questions here
25 on Page 10 of your testimony. Okay, I'm sorry.

1 Before I take you to that, I understand I need to ask
2 you one more question on another matter.

3 On Page 9. And the question is -- while we
4 are looking at Page 9, the Line 9 of your rebuttal
5 testimony, you state: It is a standard practice to
6 provide emergency storage based on an assessment of
7 risk and degree of system dependability.

8 And my question is: Do you know if Gulf
9 Utility has conducted a risk assessment to determine
10 and design how much emergency storage it needs for its
11 water distribution system?

12 A I'm not aware of that; however, I designed
13 the reservoirs in the system. I know what I included
14 in the design concepts for those reservoir and pumping
15 stations. I'm not aware that Gulf Utility's assessed
16 a particular risk value, no.

17 Q Were there any studies or any supporting
18 documents or standards that would indicate --

19 A To my knowledge, there isn't any standard to
20 apply to that other than just what it says here, that
21 you have to assess the dependability of the
22 facilities. In smaller systems in Lee County, the HRS
23 requires one day -- a 24-hour period for the
24 production capacity of the facility.

25 In larger systems, you know, Gulf Utility

1 provides, I think it was 2.6 million total storage,
2 which represents about 18 hours. Other facilities --
3 yeah, so there's no specific standard. But that's the
4 standard that we use here locally, that ideally you
5 would provide 24 hours. In larger systems you can
6 sometimes reduce that. The City of Cape Coral has
7 about five days storage, and Sanibel has about 10 days
8 storage.

9 Q Now, this would be in addition to fire
10 storage?

11 A That's their risk assessment in case of a
12 catastrophic event. If you had a hurricane, that they
13 would still have some storage available. If you had a
14 line rupture somewhere, they would still be able to
15 supply fire flow to portions of their system, if they
16 had multiple tasks.

17 Q Is that your recommendation to have that
18 extensive --

19 A My recommendation is what they have now is
20 adequate, but no more than that.

21 Q Okay. Real quickly, moving on to Page 10.
22 In Line 13 of your rebuttal testimony, you state:
23 Also attached -- we are talking dead storage now.

24 A Yes.

25 Q "Also, attached is Exhibit JPE-5, Sheets 1

1 through 3, which depict graphically the suction head
2 conditions for the pump installations within the
3 utility's system. As these exhibits illustrate, each
4 installation has adequate available suction pressure
5 to completely dewater the storage tank."

6 A That's correct.

7 Q Therefore, according to this explanation,
8 you agree with Mr. Bidy that there is no dead
9 storage; is that right?

10 A I didn't know Mr. Bidy said there was no
11 dead storage.

12 Q Well, I guess the better way of phrasing
13 that is that he was including no dead storage in any
14 allowance in his recommendation.

15 A In his testimony he said that he didn't
16 believe in the design we had here and that we were
17 unable to use a portion of the volume of the tank. I
18 believe it was 838,000 gallons.

19 Q I think we've done this once before, but I
20 believe I led a witness where he expressly states that
21 there would be no dead storage, that there is no
22 effective -- well, that's he's not giving any dead
23 storage allowance. And you're saying there is no dead
24 storage.

25 So we all agree that there is no allowance

1 for dead storage in this particular Utility in this
2 particular site; is that correct?

3 A Well, in engineering terms what I just
4 stated is that the tanks here can be totally
5 dewatered.

6 Q So there is no dead storage for these
7 facilities?

8 A Right.

9 Q Okay. That's all I -- let's see. One
10 second here. That's fine.

11 MR. REILLY: I think that takes care of it.

12 COMMISSIONER DEASON: Staff.

13 CROSS EXAMINATION

14 BY MS. O'SULLIVAN:

15 Q Hello, Mr. Elliot.

16 A Hi.

17 Q In your rebuttal testimony you state that
18 the Lee County Development Standards Ordinance,
19 Section 12, entitled Fire Safety Design Standards and
20 Requirements has been replaced by the Lee County Land
21 Development Code; is that correct?

22 A Section 10, Lee County Development Code,
23 Section 10 replaced the ordinance --

24 Q The previous ordinance?

25 A Section 12, yes.

1 Q Would you agree that with minor format and
2 presentation changes, the verbiage of the two
3 documents is substantially the same?

4 A No, it's substantially different.

5 Q As it relates to fire flow, is it
6 substantially the same?

7 A No, it's different.

8 Q What major differences are there?

9 A The major differences are that the specific
10 fire flows are not related to the water utility. The
11 responsibility of determining fire flows and the use
12 of fire flows is basically on the developer, and based
13 on the building type, and based on occupancy usage and
14 many things that are in the formula.

15 Q Can you point -- looking at Exhibit JPE-6
16 attached to your testimony, could you indicate where
17 that is found?

18 A Well, the computation is on 10-82.3. It's
19 Section 10-385, Developments Provided Within the
20 Public Water System, (B), Fire Flows.

21 Q All right. And you are saying that differs
22 from the previous Section 12?

23 A I believe the previous Section 12 had
24 specific flow class or flow requirements for different
25 types of buildings that -- you know, it was -- this

1 has kind of translated responsibility on the developer
2 and is related more to building function and
3 classification as it is to, like, a commercial zone or
4 an industrial zone.

5 Q I'm going to hand you Section 12, which is
6 the previous document, the Fire Safety Standards
7 Design Requirements. Looking at Page 12-3 and also
8 the bottom of 12-2, isn't that substantially the same
9 fire flow requirements and the same standards as the
10 new ordinance?

11 A Yes. It states the same as far as this is
12 between buildings and the needed fire flow, that's the
13 same. I think the computation formula is different.

14 Q Okay. Where are you referring to? Which
15 computation formula? The F fire flow?

16 A Yeah, the F fire flow and the multipliers.
17 I don't interpret that to be a specific requirement of
18 the Utility Company. I think there's a misconception
19 as to what the fire flow requirements are for a
20 specific area and who's responsible for those
21 requirements.

22 Q I understand. I'm still trying to figure
23 out though. Looking at the two documents here, it
24 appears that the fire flow calculation from Section 12
25 is: Fire flow is based on the formula $F=18 \times C \times A$,

1 and it lists what those factors are. That appears to
2 be the same factors and calculation on Page 10-82.3.
3 Would you agree?

4 A Okay. Yes, I do.

5 Q Yeah, I'm just trying to understand where
6 you think the new one differs from the old one.

7 A I haven't studied the difference. I just
8 know that this -- without taking time to compare them,
9 I don't know what the intrinsic differences are.

10 Q Okay. So when I asked you earlier whether
11 you could agree whether or not it was substantially
12 the same, you said, no, they're not; now you would say
13 that you're not sure?

14 A I'll change my answer. I'm not sure without
15 reviewing them in detail.

16 MS. O'SULLIVAN: I'd like to have this
17 marked as an exhibit please, if I could. It's Section
18 12, Fire Safety Design Standards and Requirements.

19 COMMISSIONER DRASON: Do you have copies?

20 MS. O'SULLIVAN: I believe we have just a
21 couple of copies. We can give my copy if you'd like.

22 COMMISSIONER DRASON: It will be identified
23 as Exhibit 39.

24 (Exhibit 39 marked for identification.)

25 Q (By Ms. O'Sullivan) Now, I understand that

1 your testimony is that the county does not have
2 authority or jurisdiction over the Utility to provide
3 fire flow; is that correct?

4 A That's correct.

5 Q Who does have jurisdiction over the Utility,
6 or does anybody?

7 A I would say who has jurisdiction over the --
8 that would be DEP and HRS. But as far as fire flow, I
9 don't know. I don't believe anybody does.

10 Q What standard do you think the Utility
11 should adhere to in providing fire flow in its
12 territory?

13 A Well, basically, their responsibility is to
14 maintain, and the new standards ordinance is to
15 maintain the existing system. I think that's implied
16 in the new order. I'm not sure exactly where.

17 Q That's the Utility's obligation, the
18 Utility's --

19 A Yes, is not to decrease the level of
20 service.

21 Q In your -- strike that, strike that.
22 The total number of fire hydrants in Gulf
23 Utility's service area is approximately 400; is that
24 correct?

25 A I don't know that for sure, I didn't count

1 then.

2 Q Would you agree, subject to check, that it's
3 at least several hundred?

4 A Yes, I feel it's several hundred.

5 Q You said that you've tested three as
6 indicated in your Exhibit JPE-7. Do you believe that
7 to be a representative sample of the total number
8 available?

9 A For the flow available?

10 Q Yes.

11 A I believe at the time it was taken, yes, and
12 in the areas taken.

13 Q All right. Those fire flow tests indicated
14 in JPE-7 that there are three separate tests there.
15 Did you contact the local fire department to witness
16 those tests?

17 A No. We contacted the Utility Company, and
18 we contacted a licensed sprinkler official to conduct
19 the test with us. I didn't conduct it personally, I
20 represented -- my firm was present.

21 Q Would you agree that the Lee County Land
22 Development Code requires that the fire department be
23 present for fire flow tests? To be more specific,
24 could I refer you to Section 10-384 (5)(c) which is on
25 Page 10-82.2?

1 A Yes. Except I'd make an exception to that.
2 That's for fire flow tests that are specific to this
3 code. And the purpose of this code is for building
4 permitting, it's a land development code. I think
5 that's the context of these fire flow tests, involve a
6 fire department. I think our tests were a matter of
7 taking engineering data and testing. And I don't
8 think that really applies.

9 Q Understanding that you feel that the
10 development order doesn't require you to have the fire
11 department there, did you consider having the fire
12 department there to witness the tests?

13 A I don't know. I didn't make all the
14 arrangements.

15 Q Who did?

16 A Marty Owens in my company. And Steve
17 Messner, I don't know, he may have some knowledge of
18 that.

19 Q You stated in your testimony that the flow
20 tests were taken at the extremities of Gulf Utility's
21 service area; is that correct?

22 A They were taken, I think, at areas that were
23 referenced by Mr. Beard as being weak areas. And I
24 think that was -- the intent was to find, to verify
25 those numbers to satisfy ourselves.

1 Q Were these hydrants at the most remote
2 locations of each line?

3 A I would say no. Like, for example, the
4 Constitution area is really a looped area. That was
5 on sheet 2 of 3. And Island Park and Park Road, that
6 was at the absolute extremities of it. That may have
7 been the most convenient two hydrants that lined up.

8 Q All right. Did those three fire flow tests
9 encompass or were taken at all segments of the
10 distribution system included in the study?

11 A Could you repeat that question, please?

12 Q Certainly. I'll rephrase it. Were the
13 three fire flow tests taken representative of all
14 segments of the distribution system?

15 A No. Actually, they were representatives of
16 some of the weak areas of the system, not -- I'd say
17 the vast majority of the system furnishes much higher
18 fire flows than these represented here.

19 Q All right. You stated in your testimony
20 that the duration of a fire event will be more than 10
21 minutes; is that correct?

22 A That's the way I would like to take them;
23 that's the way these were taken. And that's basically
24 an engineering determination, not a fire official's
25 determination. Because I like to see how the system

1 reacts in reality to how the system is designed, the
2 automation of the high service pumps when they kick in
3 in a real life fire situation.

4 Q So your statement was not based upon
5 education or experience in fire science, but instead
6 upon engineering principles or engineering --

7 A No, I don't have a fire badge or degree in
8 fire fighting.

9 Q What would cause the flow levels to be less
10 than design expectations?

11 A Pardon me? Repeat, please.

12 Q Certainly. What would cause fire flow
13 levels to be less than design expectations?

14 A That's hypothetical?

15 Q Yes.

16 A Well, design expectations, if you do the
17 correct hydraulic modeling, they generally come out
18 fairly close, assuming you haven't made some wrong
19 assumptions, if you have a calibrated model so --

20 Oftentimes you have closed valves. We went
21 in an area close to Island Park and found out that the
22 fire flows were much less than expected, and we found
23 that we had several closed valves, such that the loop
24 system wasn't functioning properly. I mean, that
25 would be one instance or one case.

1 Typically, in dead end lines you don't have
2 the fire flow that you -- but you would anticipate
3 that in your calculation.

4 Q Would buildup in the lines also, or scaling,
5 also cause fire flow problems? Hypothetically again.

6 A On a very old system that had cast iron and
7 some other things in it. I would say in this system
8 specifically, it would be negligible because of the
9 water processes involved.

10 Q Okay. During your cross examination with
11 Mr. Reilly, you discussed the fire event and the
12 10-minutes duration, lasting more than 10 minutes.
13 Did you imply that the fire department would turn on
14 the fire hydrants before they hooked up the hoses?

15 A No, I didn't mean that. They would hook up
16 the hoses and then turn the hydrant on. I stand
17 corrected.

18 Q The MFRs in this case indicate used and
19 useful calculations based on 1,500 gallons per minute.
20 Are you saying that the Utility is not required to
21 meet that amount?

22 A 1,500 gallons a minute is what a
23 considerable amount of the system does provide; I can
24 state it that way. The system as we interpreted the
25 development code, one of my staff members was

1 instrumental in writing this code, the intent is to
2 never diminish the quality or the flow and the
3 pressures in the system from this day forward. And
4 I'm just saying that Gulf Utility in the vast majority
5 of their commercial system provide the 1,500 gallons
6 per minute flow.

7 As the code is written, the minimum flow is
8 500 gallons a minute. And then you'd have the ability
9 to different occupancies, different classifications at
10 building, you can add sprinkler systems, draft tubes,
11 you can build fire walls, you can change your method
12 of construction. And that's all incumbent on the
13 design engineer -- developer's engineer of how they
14 want to do that and what building product and where
15 he's located within the system even.

16 Q Just one moment. Sorry. Is it your
17 interpretation of the applicability of the Lee County
18 land development code that it only applies to
19 developments that come on line after this code was
20 enacted?

21 A Sure. Because that's what they are using.
22 That's how they utilize the code is, if you're a
23 developer you'd have to go take a fire flow test
24 within a certain period of time and match that up to
25 your building time or else you won't get a development

1 order. And that's the whole mechanism. That's the
2 whole purpose for the code. The code wasn't written
3 to specify fire flow rates for fire departments,
4 that's certainly not the intent of the code.

5 Q So it's your testimony that the code does
6 not apply. Even if a development is put in after this
7 code was enacted that Gulf Utility intends to serve,
8 that it doesn't apply to Gulf Utility, just to the
9 developer?

10 A The only part that it applies to Gulf
11 Utility is that it's their system that they are
12 testing, that applies basically to the developers.
13 The only way it would apply to Gulf Utility is if they
14 are building a structure -- for example, we had to get
15 a development order for the Corkscrew water plant,
16 we'd have to go through the same process as a
17 developer. But it doesn't stipulate a gallons per
18 minute flow, that a utility company has to do
19 something to create this flow.

20 All I'm saying is that their existing system
21 is what the existing system is, and that's how that
22 they apply the code, is to taking fire flow tests on
23 the existing system. What we're further saying, I
24 think, is we provide 1,500 gallons a minute in the
25 vast majority of the system, and there are some older

1 areas of the system where we cannot because they were
2 built to codes prior to this.

3 Q All right. Just a moment.

4 MS. O'SULLIVAN: We have nothing further.
5 Thank you for waiting.

6 COMMISSIONER DEASON: Redirect.

7 REDIRECT EXAMINATION

8 BY MR. GATLIN:

9 Q Do the plants, the water plants, provide at
10 least 1,500 gallons per minute pressure delivered?

11 A The water plants as I -- I didn't design the
12 Corkscrew plant -- were designed with the intent to
13 provide the maximum daily flow. The booster pumps and
14 water storage systems are designed for the fire flow
15 component. However, as Mr. Cardey testified, is that
16 once that's depleted, then that's part of the maximum
17 day flow that you have to refill those tanks. I
18 believe that's what we were saying.

19 Q Would you use the old code to date?

20 A Pardon me?

21 Q Would you use the old code, Section 12?
22 Would you use it for now?

23 A No, it wouldn't have any validity. The
24 purpose of the code, again, is for developments.

25 Q You'd use the more current and present code;

1 is that correct?

2 A Yes.

3 Q These lines, these old lines in various
4 parts of the system, what would be involved in
5 replacing those lines, retrofit larger lines for fire
6 flow?

7 A It would involve a great deal of cost
8 because these areas are in already developed areas
9 where you have a lot of other utilities and
10 infrastructure in the system, so it would be a
11 tremendous expense.

12 Q Including digging up streets, making ditches
13 in the streets?

14 A Streets, driveways, you'd have to acquire
15 easements probably.

16 Q Would you recommend that Gulf Utility be
17 required to do this?

18 A No.

19 Q Why?

20 A Whether or not -- they are not compelled to
21 do that. I mean, there's nothing in -- that requires
22 them to do that. So unless there was a funding
23 mechanism that it would make this useful. So
24 obviously someone would benefit from the lines. So I
25 wouldn't arbitrarily go out and replace these lines.

1 **MR. GATLIN:** That's all I have. I move
2 Exhibit 36.

3 **COMMISSIONER DEASON:** Without objection,
4 Exhibit 36 is admitted. Other exhibits.

5 (Exhibit 36 received in evidence.)

6 **MS. O'SULLIVAN:** Staff moves Exhibit No. 39.

7 **COMMISSIONER DEASON:** Without objection,
8 Exhibit No. 39 is admitted.

9 (Exhibit 39 received in evidence.)

10 **COMMISSIONER DEASON:** Thank you, Mr. Elliot.

11 (Witness Elliot excused.)

12 - - - - -

13 **WITNESS ELLIOT:** Thank you.

14 **MR. GATLIN:** Call the next witness.

15 Mr. Nixon. Are you ready?

16 **COMMISSIONER DEASON:** Yes. Yes.

17 - - - - -

18 **ROBERT C. NIXON**

19 was called as a witness on behalf of Gulf Utility
20 Company and, having been duly sworn, testified as
21 follows:

22 **DIRECT EXAMINATION**

23 **BY MR. GATLIN:**

24 **Q** Mr. Nixon, you testified earlier did you
25 not?

1 A Yes, I did.

2 Q And you were sworn in before that?

3 A Yes.

4 Q Have you prepared testimony for presentation
5 in this proceeding consisting of 25 pages of questions
6 and answers?

7 A Yes.

8 Q Are there any corrections or additions that
9 you wish to make?

10 A No.

11 Q If I were to ask you those questions today,
12 would your answers be the same?

13 A Yes.

14 MR. GATLIN: Mr. Chairman, may we have this
15 inserted into the record as though read?

16 COMMISSIONER DEASON: Without objection, it
17 shall be so inserted.

18 Q (By Mr. Gatlin) Now, Mr. Nixon, you have
19 two exhibits, do you not, attached to your testimony?

20 A Yes, I do.

21 Q RCN-1 is the average adjusted balance sheet
22 working capital allowance, and RCN-2 is capital
23 projects included in accounts payable; is that
24 correct?

25 A That's correct.

1 **MR. GATLIN:** May we have these exhibits
2 identified, Mr. Chairman?

3 **COMMISSIONER DEASON:** Yes. Composite
4 Exhibit 40.

5 (Exhibit 40 marked for identification.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**
2 **GULF UTILITY COMPANY**
3 **APPLICATION FOR CHANGE IN WATER AND WASTEWATER RATES**
4 **DOCKET NO. 960329-WS**

5 **REBUTTAL TESTIMONY OF ROBERT C. NIXON, C.P.A.**

- 6 Q. Please state your name and professional address.
- 7 A. Robert C. Nixon, C.P.A., a partner in the accounting firm
8 of Cronin, Jackson, Sutton & Wilson, P.A., 2560 Gulf-To-Bay
9 Boulevard Suite 200, Clearwater, Florida 34625.
- 10 Q. Have you previously provided testimony in this Docket?
- 11 A. Yes.
- 12 Q. What is the purpose of your rebuttal testimony?
- 13 A. The purpose of my rebuttal testimony is to respond to the
14 direct testimony of Ms. Kimber Dismukes, witness for
15 the Office of Public Counsel, on the issue of the
16 allowance for working capital.
- 17 Q. First, let's begin by understanding what working capital
18 is. Would you please define working capital from both a
19 financial standpoint and the rate making perspective?
- 20 A. From a financial standpoint, working capital is a measure
21 of financial liquidity of a business enterprise. The
22 measurement is based on the availability of cash and other
23 current assets that are readily convertible to cash that
24 may be used to meet liabilities that must be paid in the
25 current business cycle. This financial liquidity measure

1 is based on a comparison of current assets to current
2 liabilities at a point in time. Measurement is expressed
3 as the ratio of current assets to current liabilities and
4 is commonly referred to as the current ratio. In my
5 experience, most banks and other financial institutions
6 look for a minimum current ratio of 2 times. According to
7 Gulf's audited financial statements at December 31, 1995,
8 the Company had current assets of \$4.8 million and current
9 liabilities of approximately \$1.4 million. This results
10 in a current ratio of approximately 3.4 times.

11 The rate making perspective of working capital is
12 quite different. The following definitions are taken from
13 the text "Accounting for Public Utilities," by Robert L.
14 Hahne and Gregory E. Aliff, published by Matthew-Bender:

15 "For rate making purposes, working
16 capital is a measure of investor funding
17 of daily operating expenditures and a
18 variety of non-plant investments that
19 are necessary to sustain ongoing
20 operations of the utility. The rate
21 making measure of working capital is
22 designed to identify these ongoing
23 funding requirements on average over a
24 test year." Emphasis supplied.

25 "The average amount of capital provided

1 by investors, over and above the
2 investment in plant and other
3 specifically measured rate base items,
4 to bridge the gap between the time
5 expenditures are required to provide
6 services and the time collections are
7 received for such services." Emphasis
8 supplied.

9 These definitions of working capital have been
10 accepted and used by the Commission since it began
11 regulating water and wastewater companies under its
12 jurisdiction.

13 Q. Does Ms. Dismukes' testimony on working capital conform
14 with the generally accepted definitions you have just
15 given?

16 A. No. Ms. Dismukes fails to understand that the allowance
17 for working capital is just that -- an allowance over and
18 above the capital investment in plant and other
19 specifically measured rate base items. Under
20 Ms. Dismukes' definition, current assets and current
21 liabilities are a source of capital for rate base plant
22 investment. Long lived plant assets simply are not funded
23 by working capital. Rather, working capital is a
24 measurement of cash required to fund day-to-day
25 operations.

- 1 Q. What sources of capital has the Commission looked to in
2 support of rate base plant investment?
- 3 A. The Florida Commission, and all other jurisdictions of
4 which I am aware, utilize the capital structure plus
5 accumulated deferred income taxes and tax credits.
- 6 Q. Please define the term capital structure as you have just
7 used it.
- 8 A. The capital structure of a utility consists of those long-
9 term sources of funds used for plant investment and
10 include common equity, long- and short-term debt, deferred
11 tax credits, and customer deposits. These are the
12 elements of capital structure which the Commission has
13 used for as long as I can remember and are set forth on
14 Schedule D-1 of the Commission's uniform MFR's and adopted
15 by reference in Rule 25-30.437.
- 16 Q. Does that schedule of capital structure contain any
17 current asset or current liability accounts?
- 18 A. No, except for customer deposits, which is viewed as a
19 type of short-term debt.
- 20 Q. Why is an understanding of the definition of working
21 capital and the components of the capital structure
22 important?
- 23 A. Understanding these definitions is important because
24 Ms. Dismukes has recommended that negative working capital
25 should be used to reduce the Company's net rate base

1 investment which, as I just explained, is supported by a
2 Company's capital structure, and not its working capital
3 accounts. Traditionally, the Commission and its Staff
4 have well understood these definitions and, as a result,
5 have not reduced rate base investment by a negative
6 working capital allowance.

7 Q. On page 22, lines 19-21, Ms. Dismukes states that if the
8 Commission does not include a negative working capital
9 allowance in rate base, it will provide the Company with
10 an opportunity to overearn. Is she correct?

11 A. Absolutely not. For this to be true, the Commission would
12 need to abandon its traditional rate making practice,
13 based on the capital structure and the cost thereof, and
14 adopt a new capital structure which includes current
15 assets and current liabilities. Additionally, the
16 Commission would need to abandon its traditional
17 definition of working capital and determine that current
18 assets and current liabilities do not fund day-to-day
19 operations; but instead, are a source of funding for
20 capital utility plant investments.

21 Q. Is there such a thing as negative working capital?

22 A. Yes, for a financially distressed utility. Under
23 Ms. Dismukes' proposal, the worse off a utility is
24 financially, not only is there no need for an allowance
25 for working capital, but a utility should be penalized by

1 reducing its investment which is supported by the capital
2 structure.

3 Negative working capital may exist prior to rate
4 relief, particularly if rates have been grossly
5 insufficient. However, if proper adjustments are made to
6 reflect the impact of the sought after rate increase,
7 balance sheet working capital is seldom negative.

8 More often, computation of a negative working capital
9 allowance simply means that the computation is flawed.
10 Either the adjustments just mentioned have not been
11 considered or the calculation contains current assets or
12 liabilities which should have been eliminated.
13 Conversely, certain components may have been eliminated
14 which should have remained in the computation.

15 Q. Has the Commission adopted any rules or published any
16 guidelines on how balance sheet working capital is to be
17 calculated?

18 A. None of which I am aware. Although rule making would
19 certainly be appropriate under Section 120.54 F.S., and
20 may be required, no rule as defined in Section 120.52 (15)
21 has been adopted by the Commission on balance sheet
22 working capital.

23 Q. On page 23, lines 11-15, Ms. Dismukes quotes the remarks
24 of Commissioner Deason in part: "and a negative working
25 capital allowance, all it means is that there are other

- 1 sources of capital other than things supplied by the
2 investor that are being used to support the operations of
3 this company. And it is important to recognize that like
4 we do other sources of capital." Would you please
5 comment?
- 6 A. I respectfully disagree with Commissioner Deason that a
7 negative working capital means there are "other sources of
8 capital." Assuming the computation was correctly made
9 which resulted in a negative allowance, this would simply
10 mean that there are other sources of cash working capital
11 to support day-to-day operations. A negative working
12 capital computation would not demonstrate a source of
13 capital used to support rate base under the definitions
14 and long-standing Commission policy I have discussed
15 above. In my opinion, a negative working capital, validly
16 computed, simply means that a company has no need for an
17 allowance which earns a rate of return. It does not mean
18 that working capital deserves capital structure
19 recognition.
- 20 Q. On page 24, lines 9-11, Ms. Dismukes states that the
21 Commission's rules have no requirement for a zero working
22 capital allowance and notes that the Commission's rules
23 require that the balance sheet approach to working capital
24 be used for Class "A" and "B" water and wastewater
25 utilities. Is she correct?

- 1 A. She is correct that no rule exists regarding zero working
2 capital; however, long-standing Commission policy, as
3 reflected in numerous rate orders, indicates that zero
4 working capital is appropriate for those companies with a
5 validly computed negative working capital allowance. She
6 is incorrect with regard to which utilities are required
7 to use the balance sheet method. Under Rule 25-30.433
8 (2), the balance sheet approach for calculating working
9 capital is required only for Class "A" utilities. Working
10 capital for Class "B" and "C" utilities is based on the
11 formula method.
- 12 Q. On page 24, beginning at line 14 and continuing through
13 page 25, line 13, Ms. Dismukes discusses her hypothetical
14 example, attached to her testimony as Schedule 18, to
15 demonstrate how the Company would overearn if a negative
16 working capital allowance is not included in rate base.
17 Does the hypothetical example on Schedule 18 support her
18 assertion?
- 19 A. No. The numbers in the hypothetical example are self-
20 serving and have been crafted to demonstrate Ms. Dismukes'
21 argument for recognition of negative working capital. The
22 flaw in the example, as crafted, is Ms. Dismukes' belief
23 that the Commission somehow regulates total assets and
24 liabilities. It does not. Historically, the Commission
25 has considered only defined elements of rate base and

1 capital structure, not total assets and liabilities. As
2 I mentioned previously, the Commission would need to
3 change its basic approach to rate making in order for
4 Ms. Dismukes' example to have any validity.

5 More specifically, items such as accounts payable,
6 accrued taxes, and miscellaneous accrued liabilities are
7 not sources of cost-free capital. They may be a source of
8 cash flow and cash working capital required to pay for
9 day-to-day operating expenses, but they are not a capital
10 source of funds supporting rate base plant investment.

11 Q. Would you please comment more specifically on the numbers
12 in the hypothetical example?

13 A. As I previously stated, the numbers in the hypothetical
14 example are self-serving and have been crafted to support
15 a specific conclusion. In addition, the numbers do not
16 appear to be realistic. We are not given enough
17 information to fully understand the financial position and
18 working capital needs of the utility in the hypothetical
19 example. I note the following:

20 1. The realism of the numbers in the capital
21 structure is questionable. Presumably, the original plant
22 investment was in excess of \$100,000, since net plant is
23 shown. Yet, common equity and long-term debt total only
24 \$75,500. Thus, it is likely this utility has been losing
25 a lot of money. The example does not fit the typical

1 utility capital structure, where total capital exceeds the
2 rate base and must be reconciled downward on a prorata
3 basis.

4 2. Miscellaneous current liabilities appear to be
5 conveniently high. What are they? Do they relate to
6 operations and properly belong in the computation of
7 working capital? Not enough information is available to
8 answer these questions.

9 3. The existence of \$3,000 of accumulated deferred
10 income tax debits is suspect. They would arise only from
11 book/tax timing differences where income is recorded for
12 tax purposes, but not book purposes. Further, they would
13 only be booked if it was more likely than not that the
14 company would have future taxable income which would allow
15 realization. As I mentioned, the numbers in the capital
16 structure suggest the company has been losing money and
17 probably operates at a loss for both book and tax
18 purposes.

19 Without this deferred tax asset, the capital structure
20 would correctly total \$90,000 and be equal to the net rate
21 base investment before consideration of any allowance for
22 working capital.

23 4. Net CIAC is unrealistically low. Under Commission
24 Rule 25-30.580, governing service availability charges and
25 CIAC levels (75 percent/25 percent rule), one would expect

1 net CIAC to be much higher than the \$10,000 shown in the
2 hypothetical example.

3 Resolution of the questions raised above or simply use
4 of a more realistic number for net CIAC would change the
5 results stated by Ms. Dismukes and support the traditional
6 methods of rate making previously discussed.

7 Q. You have defined working capital and distinguished between
8 working capital and the capital structure of a utility.
9 Also, you have discussed and explained the Commission's
10 traditional rate making practices related to these items.
11 From a practical standpoint, what is allowance for working
12 capital trying to approximate?

13 A. The concept of working capital is a cash concept.
14 Regulators attempt to determine the amount of investor-
15 supplied cash which is necessary to fund day-to-day
16 operations between the time expenses are incurred and cash
17 is collected to pay for such expenses. Generally, the
18 methods used to estimate this cash requirement are
19 lead/lag studies, the formula method, and balance sheet
20 method.

21 Q. Earlier, you mentioned that the Commission had no rules,
22 written procedures, or other guidance to actually make the
23 balance sheet working capital computation. Is that
24 correct?

25 A. Yes.

- 1 Q. Generally, how is working capital, using the balance sheet
2 method, computed?
- 3 A. The simple answer is that cost-free current assets are
4 subtracted from cost-free current liabilities. In
5 reality, the computation is much more complex and
6 subjective. For instance, those elements of current
7 assets and liabilities which are considered elsewhere in
8 the rate making process are eliminated and certain known
9 and measurable items are added. It is these types of
10 additions, subtractions, and adjustments to the current
11 asset and liability accounts which make the computation
12 subjective and for which no Commission guidance exists.
- 13 Q. Let's discuss some of these issues generally and as they
14 apply to Gulf Utility Company. First, what problems are
15 involved with determining cost-free current assets and
16 current liabilities?
- 17 A. Cash is certainly a problem. In a well managed utility,
18 there is no such thing as cash which is not in an interest
19 bearing account of some kind. Since the Commission first
20 started using the balance sheet method in the late 1970's,
21 in a telephone case, the banking industry has offered a
22 variety of cash management tools which now allow even
23 operating accounts to earn interest. Such innovations as
24 overnight "sweep" accounts and various types of temporary
25 investment accounts are available to the utility manager.

1 As it applies to Gulf, its operating cash account is
2 a "sweep" account which earns a modest amount of interest.
3 Although the operating account earns interest, it should
4 not be eliminated from the working capital computation,
5 since the account is required to fund day-to-day
6 operations. Rather, the Commission should recognize
7 today's banking and operating environment by allowing such
8 cash in the computation, and reducing such cash by the
9 interest earnings.

10 Q. What difficulties are associated with the elimination of
11 working capital accounts which are provided for elsewhere
12 in the rate making process?

13 A. A good example of this type of adjustment is customer
14 deposits. Since they are recognized in the capital
15 structure, they are eliminated from the working capital
16 computation. While customer deposits treatment is
17 straightforward, other less apparent items lead to
18 controversy for which there is no firm guidance. For
19 example, most utility companies include plant construction
20 payables in accounts payable. Because the plant assets
21 related to the payables are included in rate base and earn
22 a rate of return, such payables should be eliminated from
23 the computation. The source of funding for construction
24 payables is generally long-term debt recognized in the
25 capital structure. Also, such payables do not relate to

1 funding of the day-to-day operations and the working
2 capital needed to fund such operations.

3 Another controversial item in this area relates to
4 accrued interest payable. Although interest payable has
5 been recognized in cost of capital applied to rate base,
6 it is generally included to offset cash carried in the
7 operating account to actually make the payment. However,
8 circumstances differ from company to company and interest
9 payments may not be made from the operating cash account.
10 In the case of Gulf, the Company's primary financing
11 vehicle is Industrial Development Revenue Bonds. The
12 Company has special cash deposits from which principal and
13 interest payments are made. As a result, it is not
14 appropriate to include interest payable in the working
15 capital computation, since payments are not made from the
16 operating account and the account which actually funds
17 interest payments has been eliminated.

18 It is very important in analyzing current assets and
19 liabilities to utilize the matching concept.

20 Q. How about the additions or adjustments to working capital
21 accounts you mentioned?

22 A. These adjustments generally attempt to account for the
23 impact of rate increases on working capital. These
24 adjustments are important because a company's historic
25 test year balance sheet working capital is understated,

1 since its rates have not been sufficient to cover
2 operating expenses and/or generate a fair rate of return.
3 These types of adjustments include the impact of higher
4 rates on cash and customer accounts receivable.

5 Another adjustment of this type recognizes deferred
6 rate case expense or deferred maintenance costs which are
7 approved in the course of a rate proceeding and not
8 reflected in test year working capital.

9 Gulf has made several adjustments along these lines
10 which should be considered and approved by the Commission.

11 Q. Do used and useful adjustments impact the balance sheet
12 working capital computation?

13 A. Yes. Interest payable should be adjusted for used and
14 useful interest. That is, the interest expense which is
15 associated with the capital structure as reconciled to
16 rate base. This would not apply to Gulf, since interest
17 payable is not funded by the operating cash account.
18 Instead, there is a matching debt service cash account
19 which has been established to service debt.

20 Q. Have you reviewed the Staff Audit Report dated
21 November 12, 1996, and Gulf's response dated
22 December 6, 1996, as related to working capital in Audit
23 Exception No. 5?

24 A. Yes. I also reviewed Gulf's response to Audit Exception
25 No. 5 included in the Audit Report as pages 14 and 15.

- 1 Q. What period did the audit use for computing the working
2 capital allowance?
- 3 A. The 13 months ended August 30, 1996. As stated in the
4 report, this was the latest period for which actual data
5 was available.
- 6 Q. What test period did the Company use?
- 7 A. The projected test year ended December 31, 1996.
- 8 Q. What period should be used and why?
- 9 A. The projected test year ended December 31, 1996. Failure
10 to use the projected period ignores the impact of known
11 changes, primarily related to annualized 1996 growth, the
12 revenue associated with Florida Gulf Coast University
13 (FGCU), and impact of the proposed rates requested in this
14 proceeding.
- 15 Q. What working capital accounts were impacted by this
16 failure and do the projected test year balances appear
17 reasonable?
- 18 A. Cash and customer accounts receivable. Based on a
19 comparison of projected test year balances with historic
20 test year balances (year ended December 3, 1995), and
21 projected revenue on Schedule E-13, pages 152 and 154
22 (MFR's), the projections for these accounts appear
23 reasonable.
- 24 Average cash and customer receivable balances for the
25 historic test year amounted to \$1,120,472 and \$260,014,

1 respectively. These same average account balances for the
 2 projected test year amount to \$1,143,929 and \$305,246,
 3 respectively. Thus, average projected cash increased by
 4 \$23,457 (2.09%) while projected customer receivables
 5 increased by \$45,232 (17.39%).

6 As mentioned above, projections for these accounts
 7 included the impact of customer growth and a full year's
 8 revenue using proposed rates. A summary of projected
 9 revenue increases is as follows:

	<u>1995</u>	<u>1996</u>	<u>MFRReference</u>
11 Water	\$2,124,579	\$2,140,299	E-2, pg. 133; E-13, pg. 152
13 Sewer	<u>1,117,570</u>	<u>1,670,870</u>	E-2 pg. 135; E-13, pg. 154
15 Total	<u>\$3,242,149</u>	<u>\$3,811,169</u>	
16 Total increase		<u>\$569,020</u>	
17 Average monthly increase		<u>\$ 47,418</u>	

18 Based on the above, Gulf's projections for cash and
 19 customer receivables appear reasonable.

20 Q. I understand how receivables could be expected to increase
 21 by the average monthly increases in revenue. How about
 22 cash?

23 A. The cash average assumes that over the projected period,
 24 approximately 50 percent of the increase in receivables
 25 would be converted to cash, net of increased O&M expense
 26 and taxes other than income.

27 Q. Please discuss the reasonableness of the other projected

1 working capital accounts.

2 A. I would like to divide these accounts into two categories:
3 Those that do not effect the allowance for working capital
4 computation and those that do have an impact.

5 Those that do not have an effect because they are
6 eliminated are as follows: Special deposits, notes
7 receivable and payable to associated companies,
8 miscellaneous current and accrued assets (interest),
9 accounts payable - construction, customer deposits,
10 unamortized debt discount, preliminary survey and
11 investigation charges, clearing accounts, and accumulated
12 deferred income taxes.

13 Thus, from a working capital standpoint, the accuracy
14 of the projections for eliminated accounts is irrelevant.
15 However, I would point out that with the exception of
16 accumulated deferred income taxes, all of the average
17 projected balances for these accounts are lower than the
18 average historic balances for 1995.

19 Q. What are the remaining accounts which do have an impact
20 and are the projected average balances reasonable?

21 A. The remaining accounts are as follows: Prepayments,
22 materials and supplies, accounts payable/trade, accrued
23 taxes, accrued interest, miscellaneous current
24 liabilities, deferred rate case expense, and miscellaneous
25 deferred debits.

1 Prepayments consist primarily of prepaid insurance and
2 office equipment maintenance contracts. Projected
3 insurance costs are depicted on MFR Schedules B-3 (pages
4 71 and 72). The policies were expected to be renewed in
5 January and February, 1996, and expensed over a 24-month
6 policy period. As a result, the projected monthly amounts
7 and resulting average balance appears reasonable.

8 Materials and supplies were projected to total
9 \$24,326. This compares to the historic 1995 average
10 balance of \$26,078. Thus, the projection is reasonable.
11 During the course of this proceeding, Gulf increased the
12 average to \$37,476 for inventory of a water treatment
13 chemical to improve water quality. This balance has been
14 accepted by OPC witness Dismukes.

15 Accounts payable/trade averaged \$180,640 in the 1995
16 historic test year as compared to \$170,889 for projected
17 1996, a difference of just 5.7 percent. The difference
18 appears due to the fact that construction payables are
19 included throughout the historic test year, while they are
20 excluded for the months of April through December on the
21 projected balance sheet. In any event, the difference
22 between 1995 and 1996 is immaterial and the projected
23 balance appears reasonable.

24 Accrued taxes were projected to average \$329,812 as
25 compared to the historic average of \$209,052. The

1 projection included increases in payroll taxes, property
2 taxes, and Regulatory Assessment Fees. Projected
3 increases per Schedules B-15, pages 93 and 94 total
4 \$40,546. Thus, the 1996 projection appears overstated and
5 should be accepted.

6 Q. Speaking of accrued taxes, did the Company's projection
7 include an account "CIAC Tax Payable," totalling \$314,632?

8 A. No. The title of this account is misleading. Actually,
9 this account represents the liability for "Contributed
10 Taxes" -- gross-up collections. The account is carried as
11 a liability until the Commission determines how much
12 should be refunded to the contributor of gross-up. The
13 opposite side of this entry is cash deposited in an
14 interest bearing escrow account, pursuant to the Company's
15 gross-up tariffs. Such cash has been excluded from the
16 working capital computation.

17 Q. Please continue with your comments on working capital
18 accounts.

19 A. The next one is accrued interest. Since I have eliminated
20 this account from the working capital computation, as
21 discussed in further detail below, an accurate projection
22 was not essential. However, Gulf has provided Staff with
23 a detailed computation of 1996 accrued interest, totalling
24 \$269,790, (page 15 of Audit Report) which has been
25 accepted by OPC witness Kim Dismukes.

1 Miscellaneous current and accrued liabilities include
2 salaries and employee benefits payable. The projected
3 1996 average balance is slightly less than the 1995
4 balance (\$49,740 vs. \$50,088). Thus, the projected amount
5 appears to be reasonable.

6 Deferred rate case expense was projected to average
7 \$57,561. This number was used by the auditors. In
8 keeping with Commission policy, the average actual expense
9 approved in this proceeding should be substituted for the
10 projected 1996 average balance.

11 Finally, miscellaneous deferred debits were projected
12 to be \$335,205 for 1996, as compared to an average 1995
13 balance of \$465,660. This account contains amounts due
14 under developer refundable advance agreements (\$204,231,
15 which did not change) and various deferred charges. These
16 items include the cost of operating permits and regulatory
17 costs primarily related to gross-up proceedings. The only
18 projected changes to the account balance related to
19 amortization of the various deferred charges mentioned
20 above. Therefore, the projected balance is reasonable.

21 Q. What is your conclusion regarding the projected working
22 capital account balances which have an impact on the
23 computation of the allowance?

24 A. Based on my comments above, the projected working capital
25 accounts for the 1996 test year are reasonable and provide

- 1 an acceptable basis for determining an allowance for
2 working capital.
- 3 Q. Have you computed an allowance for working capital using
4 the MFR account and balances we just discussed?
- 5 A. Yes. Attached to my testimony is Exhibit 40 (RCN-1),
6 which calculates a working capital allowance of \$476,996,
7 before adjustment for final deferred rate case expense.
- 8 Q. Let's briefly discuss each of these adjustments. What is
9 the adjustment to cash?
- 10 A. This adjustment removes interest bearing money market
11 accounts and a small amount of interest earned on the
12 operating account during the first quarter of 1996.
- 13 Q. How about special deposits?
- 14 A. These are the trust and special deposit accounts set up
15 pursuant to Gulf's IDR's and from which principal and
16 accrued interest are paid. This is the matching asset for
17 accrued interest.
- 18 Q. What adjustments were made to notes and accounts
19 receivable and payable?
- 20 A. Both projected test year balances for these accounts were
21 eliminated, as they are related party transactions.
22 Additionally, the note payable is accounted for elsewhere
23 in the rate making process (capital structure).
- 24 Q. Explain the adjustment to materials and supplies.
- 25 A. This account was adjusted for additional water chemicals

- 1 discussed above, and agrees with the recommended balance
2 of OPC witness Dismukes.
- 3 Q. What about miscellaneous current and accrued assets?
- 4 A. The projected balance was eliminated since it represents
5 interest receivable on the IDRb special deposits mentioned
6 above.
- 7 Q. If the Commission does not follow the matching concept and
8 does not eliminate accrued interest on the IDRb's, should
9 interest receivable then be eliminated?
- 10 A. No. Interest receivable on the IDRb's is a source of
11 working capital to fund accrued interest and would not be
12 eliminated. The interest receivable is simply the other
13 side of accrued interest payable.
- 14 Q. How about accounts payable/trade?
- 15 A. The Company used actual balances through March, 1996.
16 Such balances included construction payables primarily
17 related to the Three Oaks wastewater treatment plant and
18 Corkscrew Road water main and water treatment plant. I
19 have eliminated the average balance of these construction
20 payables as calculated on Exhibit 40 (RCN-2).
- 21 Q. And you also eliminated accounts payable - construction
22 related to FGCU?
- 23 A. Yes.
- 24 Q. Do you have any support for the elimination of
25 construction payables?

1 A. Yes. Again the matching concept is applied. The source
2 of payment for construction is long-term debt, which is
3 accounted for elsewhere in the rate setting process and
4 the special deposits eliminated above.

5 Further, the Commission has previously issued rate
6 orders recognizing that elimination of construction
7 payables is appropriate (St. Johns Service Company, Order
8 No. 18551; Hydratech Utilities, Inc., Order No. 22226).

9 Q. Customer deposits do not require comment. Please explain
10 the adjustment to accrued interest.

11 A. As noted elsewhere, the matching concept requires that
12 accrued interest be eliminated. Interest is simply not
13 paid out of the operating cash account. A portion of cash
14 receipts is deposited into a special deposit account to
15 pay interest. As noted above, the cash used to pay
16 interest has been eliminated. Failure to eliminate
17 accrued interest, artificially and unfairly reduces the
18 Company's working capital requirements.

19 Q. If interest were paid from the operating account, would
20 accrued interest be eliminated?

21 A. No. The matching concept would require that accrued
22 interest remain in the computation.

23 Q. Unamortized debt discount/expense and accumulated deferred
24 income taxes are considered elsewhere in the rate setting
25 process and eliminated, correct?

- 1 A. Yes.
- 2 Q. How about preliminary survey and investigation charges and
3 the clearing account?
- 4 A. Because they do not relate to day-to-day operations, they
5 were eliminated.
- 6 Q. Explain the adjustment to miscellaneous deferred debits.
- 7 A. The components of this account were discussed above. The
8 receivable related to developer refundable advance
9 agreements was eliminated since it does not related to
10 utility operations.
- 11 Q. Do you have anything further to add?
- 12 A. Not at this time.

1 **MR. GATLIN:** Mr. Nixon, is available for
2 questions.

3 **MR. REILLY:** Excuse me. Before I do that,
4 is it to late for me to go ahead and move some
5 exhibits into the record?

6 **COMMISSIONER DEASON:** No. Go ahead, Mr.
7 Reilly.

8 **MR. REILLY:** This will be Composite 37 and
9 Exhibit 38.

10 **COMMISSIONER DEASON:** Without objection,
11 Exhibits 37 and 38 are admitted.

12 (Exhibits 37 and 38 received in evidence.)

13 **CROSS EXAMINATION**

14 **BY MR. REILLY:**

15 **Q** Good afternoon, Mr. Nixon.

16 **A** Good afternoon.

17 **Q** Are you absolutely sure that Gulf Utility is
18 not a Subchapter S corporation?

19 **A** I am positive.

20 **MR. REILLY:** Okay, I have no further
21 questions.

22 **COMMISSIONER DEASON:** Staff.

23 **MS. O'SULLIVAN:** Staff has no questions,
24 thank you.

25 **COMMISSIONER DEASON:** I take it there is no

1 redirect?

2 MR. GATLIN: No redirect.

3 MR. REILLY: I'm not sure I know what the
4 subject would be if this is a Subchapter S
5 corporation.

6 COMMISSIONER DEASON: Exhibits. Exhibit 40.

7 MR. GATLIN: Move Exhibit 40, yes.

8 COMMISSIONER DEASON: Without objection,
9 Exhibit 40 is admitted. Thank you, Mr. Nixon.

10 (Exhibit 40 received in evidence.)

11 (Witness Nixon excused.)

12 - - - - -

13 COMMISSIONER DEASON: While Mr. Messner is
14 coming to the stand let's take a brief assessment.

15 Mr. Reilly, how much cross do you have for
16 the two remaining witnesses?

17 MR. REILLY: Around 15 minutes.

18 COMMISSIONER DEASON: Each or total?

19 MR. REILLY: I think each probably.

20 COMMISSIONER DEASON: Staff.

21 MS. O'SULLIVAN: I would say 15 to 20 for
22 Mr. Messner, and let me just check Ms. Andrews real
23 quickly.

24 I would say 20 to 30 for Ms. Andrews.

25 COMMISSIONER DEASON: Okay. You may

1 proceed, Mr. Gatlin.

2

- - - - -

3

STEVE M. MESSNER

4 was called as a witness on behalf of Gulf Utility
5 Company and, having been duly sworn, testified as
6 follows:

7

DIRECT EXAMINATION

8 **BY MR. GATLIN:**

9 Q You have not testified today, have you,
10 Mr. Messner?

11 A No, I have not.

12 Q Would you state your name and address?

13 A My name is Steve M. Messner. My business
14 address is 19910 South Tamiami Trail, Estero, Florida
15 33928.

16 Q And have you prepared testimony for
17 presentation today?

18 A Yes, I have.

19 Q Is the rebuttal testimony labeled as
20 rebuttal testimony consist of 17 pages -- 18 pages?

21 A Yes, that's right.

22 Q If I were to ask you those questions today,
23 would your answers be the same?

24 A Yes, they would.

25 **MR. GATLIN:** May this be inserted in the

1 record as though read?

2 COMMISSIONER DEASON: Without objection, it
3 shall be so inserted.

4 Q (By Mr. Gatlin) And you have prepared
5 what's entitled additional rebuttal testimony, have
6 you not?

7 A Yes.

8 Q If I were to ask you the same questions in
9 that testimony, would your answers be the same?

10 A Yes, they would.

11 MR. GATLIN: May that testimony be inserted
12 into the record, Mr. Chairman?

13 COMMISSIONER DEASON: Without objection, it
14 shall be so inserted.

15 Q (By Mr. Gatlin) And you have one exhibit,
16 do you not?

17 A Yes.

18 Q It's SMH-1, Domestic Wastewater Facility
19 Permit No. FLA-014519. Is that the exhibit?

20 A Yes, sir.

21 MR. GATLIN: May we have that one
22 identified, Mr. Chairman?

23 COMMISSIONER DEASON: Yes, Exhibit 41.

24 (Exhibit 41 marked for identification.)

25

Docket No. 960329-WS
Gulf Utility Company

GULF UTILITY COMPANY

REBUTTAL TESTIMONY OF

STEVE MESSNER

1
2
3
4 Q. State your name, business address, and position with
5 the Company.

6 A. Steve M. Messner, 18513 Bartow Blvd., Ft. Myers,
7 Florida. I am and have been Operations Manager of
8 Gulf Utility Company for 16 years.

9 WATER TREATMENT PLANT STAFFING

10 Q. Why are two additional water operators required in the
11 water department?

12 A. In accordance with Chapter 17-699, treatment plant
13 classification and staffing, the recent expansion of
14 the Corkscrew facility resulted in a classification
15 change from a Class C facility requiring staffing at
16 6 hours per day for 5 days per week and one visit on
17 each weekend day to a Class B facility requiring
18 staffing 16 hours per day for 7 days per week. Both
19 positions will be filled in February 1997. The cost
20 of the two employees will be:

21	2 employees, plus 3.6% overtime	\$44,175
22	Payroll & Unemployment Taxes	1,879
23	Health Insurance	8,831
24	Retirement Benefit Payments	<u>2,494</u>
25	TOTAL	<u>\$57,379</u>

1 **WATER TREATMENT CHEMICAL COSTS**

2 **Q.** Why have water treatment chemical costs increased in
3 1996?

4 **A.** For many years, the San Carlos WTP provided water to
5 most of our customers. The water produced at this
6 facility can leave mineral deposits (calcium) on the
7 interior of water mains. This condition is known as
8 scaling and will be identified as an egg-shell coating
9 within the interior pipe walls. In late 1996, Gulf
10 Utility Company in conjunction with Betz-Dearborn
11 conducted a corrosivity analysis on the product water
12 at both water treatment facilities, as well as
13 locations throughout the distribution system. The
14 results of the study indicated that the product water
15 generated at the Corkscrew WTP is corrosive. The
16 problem is compounded due to soluble iron remaining in
17 the product water. As the water is pumped into the
18 distribution system, the addition of chlorine and
19 caustic soda act as oxidants and chemically react to
20 convert the soluble iron (dissolved) into an insoluble
21 iron. This insoluble iron may precipitate out of
22 solution and result in red or brown water. With the
23 looping of the system at the south end (Corkscrew Road
24 to U.S. 41) in 1996, the Corkscrew product water was
25 being delivered to customers and portions of the

Docket No. 960329-WS
Gulf Utility Company

1 system which were traditionally served by the San
2 Carlos facility.

3 This corrosive water may dissolve the existing mineral
4 deposits, resulting in discolored water. The solution
5 to this problem was to add two chemicals to the
6 product water. The addition of zinc orthophosphate
7 will sequester the corrosive tendencies of the water.
8 The addition of pyrophosphate will maintain the iron
9 in a soluble state.

10 The chemical addition combined with weekly analysis
11 and system monitoring has been extremely positive in
12 providing our customers a safe and reliable supply of
13 drinking water. Additionally, the corrosive
14 characteristics in the water have been eliminated.
15 The cost of these chemicals for the test year is
16 summarized below.

17 Corrosion Control Chemical Cost

18	500P Pyrophosphate	\$1.3027 per gallon
19	510P Zinc Orthophosphate	\$0.6827 per gallon

20 San Carlos Water Treatment Plant

21	500P 24.19 lbs per MG	\$31.51 cost per MG
22	510P 34.78 lbs. per MG	\$23.74 cost per MG
23	Annual treated	432,963 MG
24	Annual Cost	\$23,921.16

25 Corkscrew WTP

Docket No. 960329-WS
Gulf Utility Company

1	500P 36.2 lbs. per MG	\$47.16 per MG
2	510P 52.13 lbs. per MG	\$35.59 per MG
3	Annual treated	310,250 MG
4	Annual Cost	\$25,673

5 The cost of Betz-Dearborn 500P and 510P as shown is
6 \$49,594.

7 SYSTEM PRESSURES

8 Q. Have you read the testimony of Thomas Beard?

9 A. Yes I have.

10 Q. Mr. Beard has testified that Gulf has had higher
11 pressures in past years. Would you comment on this?

12 A. Pressure throughout the system is higher today than in
13 the past. Gulf has greatly improved its capabilities
14 of supplying water and pressure in its distribution
15 system. Pumping capabilities at the major entry
16 points to the system, namely the San Carlos Water
17 Treatment Plant and the Corkscrew Water Treatment
18 Plant, have been upgraded. System looping has been
19 improved in conjunction with pumping upgrades. Gulf's
20 water distribution system of today exhibits greater
21 pressures and consequently higher sustained flows than
22 in previous years. This uniform pressure is
23 beneficial not only in supplying water to our
24 customers but in the event of a fire, the increased
25 attendant usage will provide for a consistent flow

1 with minimal differential pressure loss. Furthermore,
2 the pressures within the water distribution /
3 transmission system are uniformly balanced through the
4 addition of a Supervisory Control And Data Acquisition
5 (SCADA) system that enables Gulf's personnel to
6 closely monitor and adjust the overall system inflow
7 and pressure from the two high-service pump stations
8 at the water treatment facilities in conjunction with
9 U.S. 41 storage/booster pump station. These pumps are
10 controlled from a central computer terminal located at
11 the San Carlos water treatment facility operations
12 center.

13 QUALITY OF WATER IN ISLAND PARK

14 Q. Would you comment on Mr. Beard's statement relating to
15 the quality of water and preflushing in Island Park?

16 A. All treated water supplied to Gulf's customers meets
17 or exceeds all regulatory requirements. There have
18 been numerous fire flow tests conducted in Island Park
19 without preflushing hydrants. In the past, an
20 eggshell layer of mineral calcium carbonate scaling
21 was formed on the interior walls of the water mains.
22 Under the circumstances, it is good system management
23 to preflush those areas that experience seasonally low
24 flows to avoid dislodging the calcium carbonate during
25 a fire flow test causing an inconvenience to our

Docket No. 960329-WS
Gulf Utility Company

1 customers. Pre-flushing is a standard practice in the
2 water utility industry and is not an indication of
3 water quality problems as suggested by Mr. Beard.
4 This is a positive maintenance procedure that benefits
5 the customers and does not affect the actual fire flow
6 test.

7 FIRE PROTECTION ON JEAN STREET

8 Q. Mr. Beard states that no hydrants for fire protection
9 are available on Jean Street. Would you comment on
10 this?

11 A. There are also no fire hydrants in developed areas of
12 San Carlos Park which are served by individual wells.
13 There are no fire hydrants where there are no water
14 lines installed. As Mr. Elliott states in his
15 rebuttal testimony on page 10, in existing
16 developments approved prior to Lee County Code, there
17 are no requirements for Gulf to provide fire service.

18 Q. Mr. Beard testified the fire flow at Florida Gulf
19 Coast University was 1,348 gallons per minute. Would
20 you comment on this?

21 A. Mr. Beard had no actual fire flow data on which to
22 base his testimony. He took no fire flow test. On
23 January 14, 1997, Gulf conducted an independent fire
24 flow test at this site. The results are attached to
25 Jim Elliott's testimony as Exhibit_(JPE-7) showing

1 1561 gpm at 20 psi.

2 LIFT STATIONS

3 Q. The Company included \$21,000 of annual cost for
4 maintenance and repair of lift stations and manholes.
5 Ms. Dismukes cut this in half namely to \$10,500. What
6 are your comments?

7 A. The Company has 42 lift stations and over 600
8 manholes, and the operation and maintenance of these
9 facilities is included in the \$21,000. Relating this
10 cost to lift stations only, the average cost would be:
11 $\$10,500 \div 42 \text{ lift stations} = \$250/\text{lift station}/\text{year}$
12 As I will show, it's not possible to maintain adequate
13 and safe service to our customers without adequate
14 maintenance expenditures and OPC's proposed adjustment
15 should be rejected by the Commission.

16 Q. Would you outline what programs are included in the
17 \$21,000 annual cost?

18 A. The Company has a program of preventative maintenance
19 conducted on all system lift stations. On a weekly
20 basis the preventative maintenance includes:

- 21 1. Check pump amperage.
- 22 2. Check pump draw down.
- 23 3. Check control panel.
- 24 4. Clean and degrease pumping equipment and wet
25 well.

Docket No. 960329-WS
Gulf Utility Company

1 5. Grounds maintenance.

2 Additionally, station pumps are pulled yearly for
3 field inspection. At this time, wet wells, piping,
4 pump rails, fittings, bolts, supports are inspected
5 for signs of degradation. Repairs/replacements are
6 completed as needed.

7 On the average, every 4-5 years the entire control
8 panel requires replacement. This work will include
9 replacing motor starters, capacitors, breakers and
10 thermal relay units. On the average, this cost is
11 \$1500 - \$2000 per lift station, with repair made on 8-
12 10 lift stations per year.

13 The re-coating of wet wells becomes necessary as the
14 system ages. Recoating is a necessary procedure, in
15 providing a barrier against corrosive sewage gas that
16 will break down the concrete walls of the wet well.
17 As the system ages, the original coating may break
18 down allowing the gas (H₂S) to ultimately destroy the
19 integrity of the station. If this is allowed to take
20 place, a complete change will be necessary. Through
21 inspections, maintenance and periodic recoating the
22 integrity of the stations will remain intact.

23 The following is a list of scheduled recoating.
24 Current recoating costs are \$8,000 per station.

25

Docket No. 960329-WS
Gulf Utility Company

1	<u>Year</u>	<u>Location</u>
2	1997	Wildcat Run #18
3		Three Oaks Middle School - #3
4		Cypress Chase - #5
5	1998	Breckenridge - #20
6		Caloosa Trace - #34
7		Woodbriar - #32
8		Vines - #21
9	1999	Wildcat Run - #16
10		Country Oaks - #8
11		Pineapple Road - #6
12	2000	Vines - #23
13		Villages at Country Creek - #11
14		Villages at Country Creek - #10
15	As this schedule shows, some 3 wet wells will be	
16	coated each year in each of the next 3 years. At	
17	\$8,000 per lift station, this cost is about \$24,000	
18	per year. Ms. Dismukes used cost in the past to	
19	arrive at her adjustment. But there has been a change	
20	in the method the Company accounts for these costs.	
21	In prior years some of these costs were capitalized	
22	while in the future all these costs will be expensed.	
23	By reviewing the cost outlined above, the costs will	
24	exceed \$21,000 just for lift stations, then there will	
25	be added cost for repair of manholes. Ms. Dismukes	

1 proposed adjustment should be rejected by the
2 Commission.

3 LAND - THREE OAKS WASTEWATER TREATMENT PLANT

4 Q. Would you describe the use of the facilities at the
5 Three Oaks Wastewater Treatment Plant?

6 A. By way of background, in the 1988 rate case (Order No.
7 20272) when only Phase I was in service, the
8 Commission found 50% of the land to be used and
9 useful.

10 Since that time, in 1991 Phase 2 was constructed and
11 in 1995 Phase 3 was constructed. In addition, a
12 second force main now delivers wastewater to the site.
13 In addition, piping underlies the whole plant site.
14 Contracts for Phase 4 have been let and construction
15 should start no later than March 1997.

16 The Three Oaks facility site encompasses numerous
17 structures above and below ground that are necessary
18 in operating a wastewater treatment facility.

19 A description of the above ground facility is as
20 follows:

- 21 A. Treatment units
- 22 B. Clarification units
- 23 C. Surge tanks
- 24 D. Filtration units
- 25 E. Contact units

Docket No. 960329-WS
Gulf Utility Company

- 1 F. Process control building
- 2 G. Motor control center
- 3 H. Standard effluent storage tank
- 4 I. Sub-standard effluent storage tank
- 5 J. Electrical service equipment and feed
- 6 K. Chlorine building
- 7 L. On-site - off-site effluent pumping
- 8 M. Digester units
- 9 N. Influent metering/sampling structure
- 10 O. Odor control - chemical storage and pumping
- 11 P. Sludge stabilization structure
- 12 Q. Blower assembly structure
- 13 R. Drainage/retention area
- 14 S. Roads and access areas
- 15 T. Buffer zone

16 In addition to the above are the underground utilities
17 relating to the operation. These include:

- 18 1. Influent piping - allowing raw sewage (influent)
19 to enter the headworks and continue to the
20 treatment units.
- 21 2. Effluent piping - allowing treated effluent to be
22 pumped to reuse system or to on-site storage.
- 23 3. Yard piping - extensive piping network that
24 connects all on-site treatment plant components.
- 25 4. Electrical service equipment and associated

Docket No. 960329-WS
Gulf Utility Company

1 conduit for feed to structures, lighting, pumping
2 and blowers and associated control panels.

3 The useful nature of the Three Oaks site extends far
4 beyond the numerous visible structures. These
5 structures are linked through a well designed system
6 of piping and conduit that exist below ground.

7 These below ground systems traverse the entire site
8 providing the essential link to the various components
9 of the treatment facilities.

10 When the required buffer zones and road and access
11 areas are factored in, the land is fully utilized and
12 is 100% used and useful in the operations. Mr.
13 Biddy's adjustment should be rejected.

14 LAND - CORKSCREW WATER TREATMENT PLANT

15 Q. Would you describe the use of the facilities at the
16 Corkscrew Water Treatment Plant?

17 A. By way of background, the Commission in the 1991 rate
18 case (Order No. 24735) found the land to be 100% used
19 and useful. There has been no change since that time
20 except the site is now used more extensively for day-
21 to-day operations.

22 Q. Could you describe the facilities at the Corkscrew
23 Water Treatment Facility site?

24 A. The Corkscrew facility site encompasses numerous
25 structures above and below ground that are necessary

Docket No. 960329-WS
Gulf Utility Company

1 in operating a water treatment facility.

2 A description of the above ground facility is as
3 follows:

- 4 1. Process Control Building
- 5 2. Bulk Chemical Storage and Containment
- 6 3. Concentrate Disposal
- 7 4. High Service Pump building
- 8 5. 1.0 MG Ground Storage Tank
- 9 6. Waste Disposal/Drainfield
- 10 7. Meter Vault
- 11 8. Tank Fill Vaults
- 12 9. Electrical Service Equipment and Feed
- 13 10. Blend Well
- 14 11. Drainage and retention area
- 15 12. Roads and access areas
- 16 13. Buffer zone

17 In addition to the above are the underground utilities
18 relating to the operation. These include:

- 19 1. Product piping - allowing product to feed
20 from the process building to the storage
21 tank.
- 22 2. Chemical piping - allowing bulk tanks to
23 feed to chemical pump facilities.
- 24 3. Concentrate disposal yard piping.
- 25 4. High service pump piping - pump suction feed

Docket No. 960329-WS
Gulf Utility Company

1 from the storage tank and pump discharge
2 piping to system.

3 5. Ground storage tank.

4 6. Waste disposal/drainfield - yard lift
5 station with raised drainfield.

6 7. Electrical service equipment and associated
7 conduit for feed to structures, lighting,
8 pumping and concentrate disposal.

9 8. Blend well - yard piping.

10 The useful nature of the Corkscrew Facility site
11 extends far beyond the numerous visible structures.
12 These structures are linked through a well designed
13 system of piping and conduit that exist below ground.
14 These below ground systems traverse the entire site
15 providing the essential link to the components of the
16 facility.

17 The Corkscrew site is fully utilized in the operations
18 of the Company. Additionally, land is set aside for
19 a buffer zone, for retention areas, and the remaining
20 land, either has a structure on or piping under it, or
21 a roadway and access area to the plant. It's 100%
22 used and useful in the operations. Mr. Bidy's
23 adjustment should be rejected.

24 Q. Is Gulf required, by regulatory authority, to maintain
25 a mix of effluent from the Three Oaks WWTP and the

1 Corkscrew WTP?

2 A. Yes, they are. The permits are attached as
3 Exhibit_(SM-1) and these permits are interrelated
4 where the mix of effluent is required. The provision
5 requiring blending in the Three Oaks permit is on page
6 1 and 2 and the first 2 pages of the Corkscrew permit
7 on pages 3 and 4.

8 Q. Would you review how the Company has disposed of
9 effluent from the Corkscrew plant as well as its plans
10 in the future.

11 A. Since 1991, concentrate from the Corkscrew WTP and
12 effluent from the Three Oaks WWTP were disposed of by
13 spray irrigation on two (2) nearby golf courses, the
14 Vines Country Club and the Villages at Country Creek.
15 The concentrate together with the effluent were mixed
16 in-line i.e., both plants freely discharged into the
17 common system that "fed" the golf course reuse lakes.
18 In 1996, water production at the Corkscrew WTP was
19 increased to 1.8 MGD with a corresponding increase in
20 permitted concentrate flow to between 318,000 GPD and
21 450,000 GPD. The Three Oaks WWTP currently produces
22 up to 750,000 GPD of treated effluent.
23 With the 1996 expansion of Corkscrew WTP, the
24 historical means of in-line mixing was determined by
25 DEP to no longer be sufficient to provide assurances

Docket No. 960329-WS
Gulf Utility Company

1 of protection to ground water supplies within the zone
2 of discharge at the reuse sites.

3 Historically, the overall ratio of flows delivered to
4 the golf courses has approximated the goal of 75
5 percent effluent / 25 percent concentrate. However,
6 the blend received at each golf course holding pond
7 has been different, with the Vines course receiving
8 primarily effluent and the Country Creek golf course
9 receiving most of the concentrate.

10 In discussions with FDEP, in order to obtain the
11 necessary permits to construct and operate the
12 Corkscrew WTP and the Three Oaks WWTP a system that
13 would provide controlled blends and quantities at the
14 two (2) golf courses and the new River Ridge
15 development was required. The system must meet FDEP
16 criteria of providing assurances of maintaining ground
17 water quality standards within the zones of discharge
18 as stipulated in regulations relating to ground water
19 monitoring programs (Chapter 62-610 Florida
20 Administrative Code - Reuse of Reclaimed Water and
21 Land Application).

22 Criteria were proposed and evaluated by Gulf Utility
23 Company in conjunction with Montgomery Watson, a
24 consultant engineering company and FDEP.

25 Option A: Included the installation of dual lines

1 that would allow the concentrate and effluent to be
2 pumped independently with blending occurring on the
3 receiving ponds at each reuse site.

4 Option B: Install deep well injection at the
5 Corkscrew site for disposal of concentrate.

6 Option C: Blending of concentrate with effluent
7 occurs in the receiving ponds at each reuse site. To
8 accomplish this, effluent and concentrate will be
9 pumped sequentially into the transmission system on a
10 daily cycle. Reuse sites will receive a measured
11 quantity of effluent during the first half of the
12 cycle; measured amounts of concentrate will then be
13 pumped to each site during the second half of the
14 cycle.

15 Each reuse site will be equipped with a monitoring and
16 control station comprising a flow meter, a flow
17 control valve and a control system. The control
18 system will include a remote terminal unit (RTU) and
19 the instrumentation required for control input. The
20 RTU's will also handle telemetry to the operations
21 center and will be compatible with the existing
22 system. Instrumentation at each site will include a
23 conductivity monitor to allow the system to
24 distinguish between concentrate and effluent. This is
25 necessary to account for the volume of water in the

1 reuse transmission pipeline.

2 A 1.0 million gallon storage tank will be constructed
3 at the Corkscrew WTP to store concentrate while the
4 wastewater plant is pumping effluent into the system.

5 An existing effluent storage tank at the Three Oaks
6 WWTP performs a similar function.

7 All three options presented were satisfactory in
8 meeting FDEP requirements. Upon evaluation Options A
9 and B were not as cost effective as Option C. Based
10 upon this program Gulf Utility was able to obtain the
11 necessary permits to construct and operate the Three
12 Oaks WWTP and the Corkscrew WTP.

13 Q. Does that conclude your rebuttal testimony?

14 A. Yes it does.

15

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
ADDITIONAL REBUTTAL TESTIMONY

STEVE MESSNER

Q. Could you comment on Mr. Kleinschmidt's statement relative to a fire hydrant maintenance agreement?

A. Gulf Utility entered into an agreement with the Estero Fire Department on March 25, 1992 where Estero agreed to maintain the hydrants within their jurisdiction.

Q. Mr. Elliott in his rebuttal testimony basically said the existing Lee County ordinances require fire service in new developments but not in areas built prior to the effective date of the ordinance. Do you agree with that?

A. Yes, I do.

Q. Mr. Kleinschmidt said Gulf Utility Company is required by Lee County to meet hydrant spacing requirements. What are your comments?

A. The statement is not entirely correct. This is correct in new developments; there are no requirements for utility companies to retrofit or upgrade older areas to meet current standards for fire protection.

Q. Would you comment on Mr. Kleinschmidt's statement relating to unsuccessful fire flow due to debris in the lines?

A. It is company policy that a utility representative accompany the fire department on all flow tests. On

Docket No. 960329-WS
Gulf Utility Company

1 tests where we were present, we observed no "debris,
2 nor were we advised by Mr. Kleinschmidt of debris in
3 the lines from unauthorized testing he performed where
4 we were not present. Specifically, the utility was
5 not notified prior to or after the tests in Wildcat
6 Run or the Breckenridge subdivision referred to by Mr.
7 Kleinschmidt. Mr. Kleinschmidt suggests a problem
8 with obtaining fire flow in some cases, however, to
9 date this information has not been communicated to
10 Gulf Utility Company.

11 Q. Would you comment on Mr. Kleinschmidt's statement
12 relating to the effects of reduced pressure on
13 existing buildings?

14 A. A fire sprinkler system is designed based on the
15 results of prerequisite testing and with looping of
16 the system in January 1996, pressures and flows have
17 improved. In any event, a developer of a new project
18 is responsible to make sure that the project has been
19 designed to meet fire protection standards. That is
20 not the utility's responsibility.

21 Q. Mr. Kleinschmidt testified that Gulf Utility does not
22 meet flow requirements in its service area and
23 attached Exhibit BOK-1 as back-up. Would you comment
24 on this?

25 A. Mr. Kleinschmidt included fire flow results from 1995.

Docket No. 960329-WC
Gulf Utility Company

1 This is 1997. As stated in previous testimony, Gulf
2 has greatly improved its capabilities of supplying
3 water and pressure in its distribution system through
4 system looping in early 1996. On February 18, 1997,
5 two (2) fire flow tests were conducted by a state
6 certified fire sprinkler contractor. These tests were
7 taken in Gulf Utility's system at the locations deemed
8 deficient by Mr. Kleinschmidt. The results of the
9 test were

	<u>Kleinschmidt</u>	<u>Gulf</u>
<u>Location</u>	<u>1995</u>	<u>1997</u>
U.S.41-Sunny Grove MH Park	939.76 GPM	5642 GPM
	@ 20 psi	@ 20 psi
Breckenridge @ Pensacola	1154.93 GPM	3254 GPM
	@ 20 psi	@ 20 psi

10
11
12
13
14
15
16 Mr. Kleinschmidt's tests are on pages 1 and 2 of
17 Exhibit_(SM-2), and Gulf's 1997 tests on pages 3 and
18 4. I am not acquainted with how Mr. Kleinschmidt
19 conducted his test, but Gulf's was performed by an
20 independent party, namely a state certified fire
21 sprinkler contractor. Test results provided in
22 Exhibit_(SM-2) are a true representation of fire flow
23 availability based upon current system capabilities.

24 Q. Does this conclude your testimony on this subject?

25 A. Yes, it does.

1 MR. GATLIN: The witness is available for
2 questions.

3 COMMISSIONER DEASON: Mr. Reilly.

4 **CROSS EXAMINATION**

5 **BY MR. REILLY:**

6 Q Good afternoon. Mr. Elliot yielded to you
7 to possibly answer any questions we had concerning the
8 capability of doing any blending at the Corkscrew
9 water treatment plant of raw water with the product
10 water. My first question is can such a blending occur
11 there at the plant?

12 A At the plant site, no, it cannot.

13 Q Where is this blending --

14 A I'm sorry, can you repeat the question?

15 Q This is the possible blending of raw water
16 with membrane product water?

17 A We have on site what we call a blend well
18 which we can blend raw water or feed water directly
19 into the storage tank.

20 Q And your purpose for doing this is what?

21 A Would be to add back some of the minerals
22 that are removed through the membrane softening
23 process.

24 Q So you can do that. My next question is:
25 Are you doing that?

1 A Yes.

2 Q And my next question is: How much of this
3 are you doing?

4 A The blend well runs approximately 40 gallons
5 a minute. So while we run the facility, we run the
6 blend well.

7 Q So all of your product water now -- all of
8 your membrane product is blended with the raw water to
9 give you your finished product?

10 A To the extent of blending at that rate, yes.

11 Q And what is the approximate percentage of
12 this plan of raw water to membrane water?

13 A Current capacity is 1.8 million gallons a
14 day. And as I say, the blend well will yield
15 approximately 40 gallons per minute.

16 Q 40 gallons per minute?

17 A Yes.

18 Q How does the 40 gallons per minute -- just
19 help me with the math, what that is?

20 A If you times that by 1,440, you will get
21 gallons per day.

22 Q Now, am I correct in stating that by
23 bringing in this additional flow of water -- and I
24 understand, the membrane, of course, you lose the
25 concentrate, is a loss of that process in terms of

1 water production.

2 A Correct.

3 Q What is that approximate loss on a
4 percentage basis?

5 A We look at plant as an 85% recovery plant,
6 meaning 85% of the total feed is product and 15% is
7 concentrate.

8 Q Now, you did say the total capacity is the
9 1.8 million gallons a day?

10 A Yes.

11 Q Of which raw water makes up a portion of
12 that 1.8?

13 A No.

14 Q So it's in addition to the 1.8?

15 A Yeah.

16 Q Excuse me, one second.

17 Does the 57,600 sound right, gallons? That
18 doesn't sound -- is that right? Okay.

19 COMMISSIONER DEASON: Mr. Reilly, you may
20 want to get the witness to confirm that for the
21 record.

22 Q (By Mr. Reilly) Could you confirm that
23 that's an approximate figure?

24 A In my head, 40 times 1,440, that sounds
25 about right.

1 Q Okay, thanks. If could you turn to Page 7
2 of your rebuttal testimony?

3 A I'm there.

4 Q On this page you mention that \$21,000 per
5 year is needed to maintain and repair lift stations
6 and manholes; is that correct?

7 A That's correct.

8 Q And on your rebuttal testimony on the same
9 page, Line 19, you state on a weekly basis the
10 preventive maintenance includes a whole list of items.
11 My question is -- aren't these part of the routine
12 jobs of existing staff that they would perform? And
13 my question is why would then the \$21,000 be required?

14 A I guess it's a two-part question. The first
15 part would be, yes, these are routine maintenance
16 items. As I said in here, conducted on all lift
17 stations, preventive maintenance conducted on lift
18 stations. In conducting preventative maintenance, you
19 will find things wrong. Lift stations are operated in
20 a very harsh environment, outside, they are not
21 covered. There are maintenance costs, repair costs
22 that relate to maintaining lift stations.

23 Q And you are saying that 21,000 figure does
24 not really include the labor then? This is just
25 the -- are we talking about materials only?

1 A Yes. The labor is provided by utility
2 employees.

3 Q And that's not part of your 21,000?

4 A That's correct.

5 Q On Page 10 of your rebuttal testimony, you
6 disagree with Mr. Biddy's adjustment on facility land
7 for Three Oaks wastewater treatment. From Line 6 you
8 state, "By way of background in the 1988 rate case,
9 Order 20272, when only Phase 1 was in service, the
10 Commission found 50% of the land to be used and
11 useful. Since that time in 1991, Phase II was
12 constructed, and in 1995 Phase 3 was constructed."

13 Can you tell us more about the relationship
14 between these three phases? Was Phase I a 250,000
15 gallon capacity?

16 A Phase I was 250,000 gallon capacity, Phase 2
17 was 251,000 gallons per day capacity.

18 Q And when Phase 3 came in, were both Phase I
19 and 2 phased out?

20 A Well, they were used for Class 1
21 reliability, and we used Phase 3 which has a capacity
22 of 750,000 gallons per day.

23 Q Now, according to the master plan the Three
24 Oaks wastewater treatment plant will have 6 million
25 gallons a day capacity?

1 A I believe that's true.

2 Q And wouldn't it be correct that the current
3 open land is held for the future 5.25 million gallon a
4 day expansion?

5 A There is land for that, yes.

6 Q On Page 12 of your rebuttal testimony, you
7 also disagree with Mr. Biddy's adjustment on facility
8 land for Corkscrew water treatment plant. This would
9 be -- I direct your attention to Line 17. You again
10 state by way of background: The Commission in 1991
11 rate case, Order 24735, found the land to be 100% used
12 and useful.

13 My question to you is how familiar were you
14 with that case and what degree of review might have
15 been conducted by Staff in that particular docket?
16 Are you aware whether the used and useful of the
17 facility then was even at dispute?

18 A I'm not aware that it was in dispute at that
19 time. I was just providing background in my rebuttal.

20 Q And have you reviewed the language of the
21 particular order? And would you believe me if I told
22 you there was no such expressed statement, but that
23 there was no adjustment made to facility land in that
24 particular order?

25 A I'd have to go back and check that.

1 Q And, in fact, the plant at that point in
2 time was itself 100% used and useful. And the issue
3 of facility land was not visited. Is that a yes, the
4 nod?

5 A Is that a question? I don't understand.

6 Q Do you have any knowledge that would
7 indicate that what I've said was not the case?

8 A No, I would have to go back and review that.

9 Q It's just your understanding that there was
10 no adjustment made at the time?

11 A Yes.

12 Q And that your feeling is that the Commission
13 should be bound by that and not conduct an independent
14 used and useful analysis in this proceeding?

15 A Well, my feeling is that the land has
16 remained 100% used and useful.

17 Q All right. Well, wait one second, please.
18 I want to hand something to you. This is -- what
19 you're being handed, I don't have extra copies, but
20 it's so big we can probably put it up and have people
21 see it. What we're handing you is a document given to
22 us in response to OPC Document Request 46 where we had
23 asked for site plans. And my reading of this
24 particular diagram shows -- let's see. Is this, in
25 fact, the Corkscrew site?

1 A It appears to be.

2 Q And what does that document indicate to you
3 in terms of planned facility expansions and the
4 location of those various facilities? If all that is
5 built, would that constitute the 6 million gallon --
6 no, I'm sorry, I'm getting -- would that constitute
7 the full build out of that particular site?

8 A It appears so, yes.

9 Q And so, it will ultimately be 6 million
10 gallons a day?

11 A No.

12 Q I didn't think so. All right, would you
13 explain then what would be the total build out of that
14 particular plant?

15 A At build out of this plant in existing
16 process building, there will be six, what we call,
17 membrane skids.

18 Q Okay.

19 A At 800,000 gallons a piece or 4.8 million
20 gallons per day.

21 Q Okay. Now, would you comment, however, from
22 a facility land standpoint, the various other
23 buildings and appurtenances that will be at the
24 ultimate build out of this particular site?

25 A At this point just about everything is here

1 with the exception of two storage tanks shown on this
2 print as Phase 4 and Phase 5.

3 Q Does this show the 12,000 square foot
4 administration building?

5 A This does show that, yes.

6 Q Do you know what the plans are concerning
7 that anticipated construction?

8 A I do not believe there are plans to
9 construct that building.

10 Q And you did speak of the 2 million gallon
11 reservoir; is that correct?

12 A Yes.

13 Q That will come in the future?

14 A Yes.

15 Q So this land will accommodate that future
16 expansion?

17 A Yes.

18 Q Okay. That would conclude our review of
19 that.

20 Oh, one other thing. We are going to hand
21 out right now one more handout, and if I could
22 possibly get a number.

23 COMMISSIONER DEASON: 42.

24 (Exhibit 42 marked for identification.)

25 MR. REILLY: Thank you.

1 Q (By Mr. Reilly) No. 42, this is short
2 titled Gulf Utility Company's response to Staff
3 request for late-filed exhibits dated December 20,
4 1996. Now, my reading of this handout -- I think was
5 prepared by you.

6 A Yes.

7 Q -- indicates that there are 1,990.5 square
8 feet of nonused and useful structure. For Skid Units
9 2 and 3, the additional used area, is 857 square feet.
10 Therefore, there's 1,133.5 square feet left for future
11 expansion; is that correct?

12 A I believe so, yes.

13 MR. REILLY: No further questions at this
14 time.

15 COMMISSIONER DEASON: Staff.

16 CROSS EXAMINATION

17 BY MS. O'SULLIVAN:

18 Q Hello, Mr. Messner.

19 A Good afternoon.

20 Q Does Gulf provide fire flow in its area?

21 A Yes, it does.

22 Q Does Gulf Utility have any responsibility
23 for the fire hydrants in terms of maintenance?

24 A We own the fire hydrants but maintenance is
25 provided -- performed by the two local fire

1 departments.

2 Q And that would be the Estero fire department
3 and San Carlos Park?

4 A Yes.

5 Q Do those two fire departments routinely fire
6 flow test the hydrants in their areas?

7 A On an a needed basis, yes.

8 Q Do you have a requirement that the fire
9 department give the utility a notice when they test
10 the flows?

11 A Yes, we do.

12 Q And how much notice is required?

13 A 24 hours, perferably 24 hours.

14 Q And what's the purpose of that notice
15 requirement?

16 A So that we could have a Utility rep
17 accompany the fire department on that test.

18 Q And generally, what's the purpose of that
19 person accompanying the fire department?

20 A When anybody is working within our system or
21 doing anything within our system, it is good
22 management of that system to have a utility rep on
23 site should a problem arise, should any questions come
24 up, should there be other things going on at the time
25 of the test. For example, other tests from the other

1 fire department, main breaks, things of that nature,
2 we would be able to discuss those with the fire
3 department and coordinate those with the fire
4 department.

5 Q Do you generally preflush any of the
6 hydrants before the fire department conducts the fire
7 flow tests?

8 A Not generally, no.

9 Q Are there some areas where you do and some
10 areas where you don't?

11 A Yes.

12 Q Okay. What areas do you generally preflush
13 before the fire flow tests?

14 A There's a seasonal -- parts of our system
15 have seasonably low flows. In those areas we may,
16 during the season of low flow time, we may decide to
17 go and preflush those so as to not to create any
18 inconvenience to our customers.

19 Q And what would the inconvenience be? Would
20 it be water quality concerns?

21 A Could be.

22 Q Is the Utility required to maintain
23 prescribed minimum pressure and flows at those
24 hydrants?

25 A The Utility is required to maintain a

1 minimum of 20 psi throughout the system.

2 Q And those are the DEP requirements?

3 A Yes.

4 Q Are you informed of the test results when
5 the fire department makes those tests?

6 A Not as a general rule, no.

7 Q Do all the hydrants in Gulf Utility's
8 service area meet or exceed the minimum flow
9 requirement?

10 A I'm not sure what the minimum flow
11 requirement is.

12 Q I'll ask a different question then. Are you
13 aware that in the Utility's MFRs they've estimated
14 fire flow based upon 1,500 gallons per minute?

15 A Yes.

16 Q Do all the fire hydrants meet that 1,500
17 gallons per minute flow?

18 A Do all fire hydrants? No, not all fire
19 hydrants.

20 Q Could you give us an estimate of how many do
21 percentage-wise?

22 A No, I couldn't do that.

23 Q Has the Utility performed fire flow tests on
24 all the hydrants in its service area?

25 A Not on all the hydrants, no.

1 Q In the Utility's annual report, the
2 materials in the water mains in the Gulf system are
3 listed at PVC and DIP which is ductile iron pipe.
4 With no reference to which is which or the amount of
5 each and the use, do you know how much of each
6 comprises which material?

7 A Percentage-wise?

8 Q Yes.

9 A The greater percentage is PVC. The much
10 greater percentage is PVC. According to our technical
11 specifications ductile iron pipe is only used when we
12 are crossing roads or for hard packed, or hard
13 surfaces.

14 Q If a hydrant is tested and does not meet a
15 flow of 1,500 gallons per minute, or whatever you
16 would consider to be an acceptable flow, what could
17 cause it to be less than the expected or design flow
18 rate?

19 A Well, there are several parameters that can
20 come into play there. Just the location of the
21 hydrant, meaning where he's located it in relation to
22 size of the line or the line's looped or an area of
23 our system.

24 Q Would mineral buildup on the interior of the
25 walls cause reduced fire flow?

1 A Mineral buildup could cause low fire flow.
2 We have a minimum buildup, what we call just an
3 eggshell coating. It would not in our system, but in
4 some systems it might.

5 Q When you say eggshell coating, does that
6 imply a very thin layer of mineral buildup?

7 A Yes, it does.

8 Q Would that be in both the PVC pipes and the
9 ductile iron?

10 A Yes.

11 Q In your rebuttal testimony, you state that
12 pressure throughout the system is higher today than in
13 the past, and also that Gulf's water distribution
14 system of today exhibits greater pressures and
15 consequently higher sustained flows than in previous
16 years.

17 Do you have any documentation of the
18 pressures and flows from past years to support this
19 statement?

20 A My testimony was based upon improvements
21 that have been done to the system, as well as the
22 pump, the main entry points to the system. That
23 meaning the two water treatment plants over the last
24 several years.

25 Q So you don't have documentation of the

1 pressure and flows, instead you are basing it upon the
2 improvements of the system?

3 A That's correct.

4 Q On Page 6 of your rebuttal testimony, you
5 state or you reiterate, that Mr. Elliot states in his
6 rebuttal testimony that for existing developments
7 approved prior to Lee County code, there are no
8 requirements for Gulf to provide fire service; is that
9 correct?

10 A That's correct.

11 Q Is fire protection service a tariffed charge
12 in Gulf's tariff?

13 A I believe it is. I would have to review the
14 tariff.

15 Q I'm going to give you a copy of a page from
16 the MFR Schedule F-3, Line 5. And the entire MFRs
17 have already been admitted into the record. Why don't
18 you take a look at that. That's Page 157 of the MFRs.

19 Looking at the bottom of that page, Line 5,
20 would you agree that fire flow as reflected in this
21 MFR page is embedded in the water rate through the
22 used and useful calculations and paid by all water
23 customers?

24 A I'm really not familiar with the MFRs. I
25 didn't -- that's beyond what I do.

1 Q Okay. Turning to a different subject just
2 for a second, what is the life expectancy of the lift
3 station coding performed last year?

4 A I'm sorry, could you repeat that?

5 Q Certainly. What is the life expectancy of
6 the lift station coding performed last year? There
7 was approximately \$10,000 spent on it.

8 A Approximately five years.

9 Q You stated that on February 18, 1997, two
10 fire flow tests were conducted by a state certified
11 fire sprinkler contractor; is that correct?

12 A Yes.

13 Q Do you know if the person conducting the
14 test was also a certified fire safety inspector or
15 certified firefighter?

16 A I don't know that.

17 Q Would you know if a license to install
18 sprinkler systems authorize one to inspect fire
19 hydrants?

20 A I don't know that either.

21 Q Would you accept, subject to check, that it
22 doesn't?

23 A Subject to the check, sure.

24 Q Were you present during those tests?

25 A Yes, I was.

1 Q Were there more than two people there during
2 those tests?

3 A Yes.

4 Q Was anyone assigned to open the other
5 hydrants during the tests?

6 A I'm sorry, could you repeat that?

7 Q Certainly. During the fire flow tests, I
8 take it that sometimes more than one hydrant is opened
9 during the test?

10 A Well, during the fire flow test you flow one
11 hydrant and what they call, you residual, another
12 hydrant. So you don't open the other one, but you put
13 a pressure gauge on an upstream hydrant.

14 Q Was that done during those tests?

15 A Yes, it was.

16 Q I'm going pass out an exhibit. This is a
17 copy of Page 42 of the AWWA manual No. 17 of water
18 supply practices. I'd like to have that identified as
19 an Exhibit, I guess, No. 43?

20 COMMISSIONER DEASON: Yes, No. 43.

21 (Exhibit 43 marked for identification.)

22 Q (By Ms. O'Sullivan) I assume you have that
23 in front of you now. And this is a copy of Page 42
24 and refers to Chapter 6, Paragraph 4D. Could you
25 please read the sentence beginning with "For

1 reasonably"?

2 It's at the bottom of the page. I'm sorry.

3 A I'm there, I've got it.

4 Q Would you read that out loud, please?

5 A Yes.

6 For reasonably accurate test results, the
7 pressure drop between the static and the residual
8 pressures should be at least 10 psi. If the
9 distribution system is strong, as it should be near a
10 supply main, in parenthesis, and the pressure drop is
11 less than 10, an additional flow line should be added
12 the test.

13 Q Your exhibit indicates that there was not a
14 10 pound drop in either test; is that correct?

15 A I don't have it right in front of me, I'm
16 sorry.

17 Q Do you have a copy of your testimony and
18 exhibits nearby? If not, we can give you a copy.

19 A Okay. I have that in front of me.

20 Q Okay, thank you. Just one moment, thank
21 you. I'm going to pass out another exhibit entitled
22 Kleinschmidt Hydrant Test. I believe this may already
23 be part of another exhibit. I'll just double check.

24 COMMISSIONER DEASON: I don't recall this
25 most recent as being included in a prior exhibit, but

1 I might be mistaken.

2 MS. O'SULLIVAN: That's correct. I think
3 Mr. Kleinschmidt referred to it, but did not make it
4 an exhibit. So I would ask for it to be identified as
5 an exhibit then.

6 COMMISSIONER DEASON: Yes. Exhibit 44.

7 (Exhibit 44 marked for identification.)

8 Q (By Ms. O'Sullivan) Mr. Messner, would you
9 refer to your additional rebuttal testimony, the last
10 two pages, and also refer to the two-page handout we
11 just gave you. Let me know when you have both of
12 those in front of you.

13 MR. GATLIN: What was the page reference?

14 MS. O'SULLIVAN: The last two pages of his
15 additional rebuttal testimony.

16 Q The first page of the handout I just passed
17 out, what is the address of the hydrant on the eighth
18 line of that handout?

19 A Which handout are we referring to?

20 Q It's the first page of Mr. Kleinschmidt's
21 hydrant test dated 2/28/97.

22 A Okay. I've got that.

23 Q Would you agree that that address is 20950
24 South Tamiami Trail?

25 A Yes. Yes, I would agree to that.

1 Q Would you agree that subject to check that's
2 the same hydrant you tested and have shown on Page 3
3 of your testimony as US41 and Corkscrew?

4 A Yes.

5 Q Going back to that handout, would you read
6 starting on Line 10 the -- what is the static pressure
7 there?

8 MR. GATLIN: Line 10 of what?

9 MS. O'SULLIVAN: The tenth line of the
10 handout, first page, two lines below the address.

11 WITNESS MESSNER: Static pressure is listed
12 here as 71.

13 Q (By Ms. O'Sullivan) And the residual
14 pressure is 60; is that correct?

15 A That's what it says here, yeah.

16 Q Okay. And the pitot pressure is 40?

17 A That's what it says, yes.

18 Q And what is the flow permitted on that
19 document?

20 A It's 24 -- 2,429 gallons per minute at
21 20 psi.

22 Q Right. And what is the flow permitted on
23 the line above that?

24 A 1,061 gallons per minute.

25 Q Referring to Page 2 of that handout, would

1 you agree that that's the same hydrant that you've
2 listed as is Pensacola Circle in your testimony?

3 A Yes.

4 Q And reading those same lines again, the
5 static pressure of 70, the residual pressure of 60 and
6 the pitot pressure of 38, would you agree that your
7 test results for the same locations were substantially
8 higher?

9 A Yes, they were.

10 MS. O'SULLIVAN: We have nothing further.

11 Thank you very much.

12 COMMISSIONER DEASON: Redirect.

13 MR. GATLIN: Yes.

14 REDIRECT EXAMINATION

15 BY MR. GATLIN:

16 Q Why do you flush water lines?

17 A We flush water lines to maintain quality
18 within our system.

19 Q Is that lining that's in the water lines at
20 Gulf, is that harmful in any way?

21 A No, it's not. It's just a calcium carbonate
22 scale, minor scale that has been forming over the
23 years. It would create an esthetic problem, not a
24 health problem.

25 Q Does the fire department furnish you with

1 copies of their tests of the -- (inaudible) --

2 A I'm sorry?

3 Q Does the fire department furnish you with
4 tests they make of the fire hydrants' pressure?

5 A No, they don't.

6 Q Have they contacted you recently about any
7 problems with the fire hydrants.

8 A No, they have not.

9 Q Isn't it true that the water plant can
10 produce 1,500 gallons per minute?

11 A Yes. The high service pumping in place at
12 either water plant can produce that.

13 Q So the problem is in the lines someplace if
14 it's lower than that, isn't it?

15 A Yes.

16 Q And you don't know of any requirement that
17 requires Gulf to replace those lines, do you?

18 A No, I do not.

19 MR. GATLIN: That's all I have. Thank you.

20 (Witness Messner excused.)

21 - - - - -

22 COMMISSIONER DEASON: Exhibits.

23 MR. GATLIN: Exhibit 41, I'd move admission
24 of that.

25 COMMISSIONER DEASON: Without objection,

1 it's admitted.

2 (Exhibit 41 received in evidence.)

3 MR. REILLY: I'd like to move Exhibit 42.

4 COMMISSIONER DEASON: Without objection,
5 Exhibit 42 is admitted.

6 (Exhibit 42 received in evidence.)

7 MS. O'SULLIVAN: Staff moves Exhibit No. 43
8 and 44.

9 COMMISSIONER DEASON: Without objection
10 Exhibits 43 and 44 are admitted.

11 (Exhibits 43 and 44 received in evidence.)

12 COMMISSIONER DEASON: We're going to take a
13 10-minute recess at this time.

14 (Brief recess)

15 - - - - -

16 COMMISSIONER DEASON: Call the hearing back
17 to order.

18 MR. GATLIN: Call witness Andrews.

19

20

21

22

23

24

25

1 **CAROLYN B. ANDREWS**

2 was called as a rebuttal witness on behalf of Gulf
3 Utility Company and, having been duly sworn, testified
4 as follows:

5 **DIRECT EXAMINATION**

6 **BY MR. GATLIN:**

7 **Q** You testified earlier today and were sworn,
8 isn't it true?

9 **A** Yes, yesterday.

10 **Q** Have you prepared some rebuttal testimony in
11 this proceeding consisting of 18 pages?

12 **A** Yes.

13 **Q** In the form of questions and answers?

14 **A** Yes.

15 **Q** If I were to ask you the same questions
16 today, would your answers be the same?

17 **A** Yes, they would.

18 **MR. GATLIN:** Mr. Chairman, we ask that this
19 be inserted into the record as though read.

20 **COMMISSIONER DEASON:** Without objection, it
21 shall be so inserted.

22 **Q** (By Mr. Gatlin) And you have some five
23 exhibits attached to that testimony, do you not?

24 **A** That's correct.

25 **Q** Exhibit Number CBA-1 is an exhibit

1 showing -- an exhibit dated December 6, 1996, Gulf
2 Utility response to the audit report.

3 A Correct.

4 Q Let me just read all those out to you.

5 No. 2 is the test year net operating income as
6 adjusted; CB-3 is the depreciation expense and reserve
7 for depreciation; CB-4 -- CBA-4 is the capacity
8 charges, and CBA-5 is the 1996 capital budget.

9 A Yes.

10 Q Is that correct?

11 A Yes.

12 MR. GATLIN: May we have those identified,
13 Mr. Chairman?

14 COMMISSIONER DEASON: Yes; composite Exhibit
15 45.

16 (Exhibit 45 marked for identification.)
17
18
19
20
21
22
23
24
25

1 GULF UTILITY COMPANY

2 REBUTTAL TESTIMONY OF CAROLYN B. ANDREWS

3 STAFF AUDIT REPORT

4 Q. Have you reviewed the Gulf Utility Company Audit
5 Report prepared by Yen Ngo, Audit Manager and Kathy L.
6 Welch, Regulatory Analyst Supervisor and submitted
7 November 12, 1996?

8 A. Yes, I have.

9 Q. Has Gulf Utility Company responded to the Florida
10 Public Service Commission Audit Report dated November
11 12, 1996?

12 A. Yes, we have. Exhibit_(CBA-1) is Gulf's response to
13 the Audit Report dated December 6, 1996. Gulf's
14 response explained Gulf's differences between the
15 Staff Audit.

16 Q. And have you likewise reviewed the testimony and
17 exhibits of Kimberly H. Dismukes of the Office of
18 Public Counsel?

19 A. Yes, I have.

20 Q. And what are your general observations on these
21 studies?

22 A. I have substantial differences with both Staff and OPC
23 in that their studies do not reflect the underlying
24 economics of Gulf.

25

NET OPERATING INCOME

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. Would you outline how you have organized your rebuttal testimony as it relates to the income statement?

A. Neither Staff nor OPC found the expenses during the test year ended December 31, 1996, but generally used expenses during the period September 1995 and August 1996, then never completed their studies by finding a rate base - operating income - rate of return for the test period.

I am therefore using Schedule B-1, page 1 and B-2, page 1 of the MFR's and pointing out major differences with Staff and OPC. These revised schedules have been identified as Exhibit_(CBA-2).

Q. Turning to Exhibit_(CBA-2), Schedule 1 for water would you explain this exhibit?

A. Column 2 is the requested annual revenue requirements shown on Schedule B-1 of the MFR. Column 3 is a summary of adjustments where the Company agrees with Staff or OPC, and column 4 is the revenue requirement of the water operations for the test year 1996, as adjusted.

Schedule 2 is for the wastewater operations and is comparable to Schedule 1.

Column 5 is a reference to the details supporting the adjustments.

Docket No. 960329-WS
Gulf Utility Company

1 As the schedules show, \$138,471 of additional cost is
2 added to the water operations and \$28,504 to the
3 wastewater operations.

4 Q. Turning to operating and maintenance expenses detailed
5 on Schedule 3 of Exhibit_(CBA-2), would you describe
6 the adjustments for both the water and wastewater
7 operations?

8 A. Most of the adjustments proposed by Staff and OPC
9 relate to both operations, therefore most references
10 also relate to both the water and wastewater
11 operations. A discussion of the adjustments follow.

12 Note A: The payroll related adjustments are in these
13 broad categories:

- 14 (1) Level of wage increase in 1996
- 15 (2) Cost of service Gulf provides to Caloosa
- 16 (3) Salary of Randall Mann
- 17 (4) Added payroll for staffing Corkscrew Water
18 Plant

19 Mr. Moore, on page 25 of his rebuttal testimony
20 supported the Company's existing level of salaries and
21 wages and the proposed adjustment should be rejected.

22 Mr. Cardey on page 10 of his rebuttal testimony sets
23 forth the errors in Staff's and OPC's attempt to
24 allocate more cost to Caloosa and these proposed
25 adjustments should be rejected.

1 Mr. Moore, on page 27 of his rebuttal testimony,
2 supported the salary of Mr. Mann as reasonable and
3 proper and necessary in the business.

4 The increased cost for labor in the water operations
5 is for increased staffing of the Corkscrew Water
6 Treatment Plant in accordance with Chapter 17-699.
7 See Steve Messner's rebuttal testimony, page 1. This
8 adjustment was recognized by Staff in their audit
9 (Exhibit_(KLW-1)).

10 Note B: Chemical Cost - Corkscrew Water Treatment
11 Plant.

12 With the additional looping of the water system and
13 the mixing of water from the two water plants, there
14 was some discoloring of water. The added chemicals
15 solve this problem as set forth in Steve Messner's
16 rebuttal testimony, page 2.

17 The chemical adjustments were recognized by Staff in
18 their audit report.

19 Note C: Material and Supplies.

20 The Staff audit entry removing the non-recurring cost
21 for lightning damage and relocating meter at Mariner's
22 Cove is correct, but Gulf did not include it in its
23 MFR. No adjustment is necessary to the MFR's.

24 Note D: Contractual Services.

25 Staff's proforma adjustments were for the period

1 September 1995 through August 1996, and do not reflect
2 test year 1996 cost. Staff's adjustments are set
3 forth in page 43 of the audit report, and comments on
4 the specific adjustments are:

5 Adjustments

6 6,7,8,9,11 Out of the test year period,
7 therefore not applicable to 1996
8 test period.

9 10 Agree with Staff Audit already in
10 MFRs.

11 12 Agree with Staff Audit already in
12 MFRs.

13 OPC made an adjustment to amortize the \$16,000 pond
14 cleaning expense over 2 years and Gulf will agree with
15 that adjustment and a \$8,000 adjustment should be
16 made. Gulf does not agree with an adjustment for
17 repair and maintenance of lift stations. See Mr.
18 Messner's rebuttal testimony, pages 7-9.

19 Note E: Rental of Building.

20 The proposed adjustments include two items, first the
21 rental charges and second the amount of common
22 expenses reimbursed by Caloosa to Gulf.

23 Mr. Moore in his rebuttal testimony, starting on page
24 10, has shown the charges are reasonable.

25 Mr. Cardey on page 8 of his testimony disagrees with

Docket No. 960329-WS
Gulf Utility Company

1 the proposed adjustments by Staff and OPC but has
2 recommended \$1,400 a year additional cost, primarily
3 for higher rental charge for Calsona to reimburse Gulf
4 for added costs incurred.

5	Water	\$ 924
6	Wastewater	<u>476</u>
7		\$1,400

8 Note F: Transportation Expense.

9 Staff's proforma adjustment were for the period
10 September 1995 through August 1996 and is not the cost
11 for the test period ending December 31, 1996.

12 Note G: Insurance - General Liability.

13 At the time Gulf's MFRs were prepared Gulf used
14 estimates from their insurance agency.

15 Note H: Miscellaneous Expenses.

16 Agree with Staff's adjustment to add the amortization
17 of CRAW and CRDC Cerkacrew disposal permit and Gulf's
18 MFRs include this cost. As to customers survey cost
19 a portion of the cost was included in the MFR. OPC's
20 adjustments that Gulf agrees with are set forth below.

21	<u>Water</u>	<u>Wastewater</u>
22	Remove NAWC lobby related dues<550>	< 283>
23	Rotary dues <163>	< 84>
24	Interest on operating account <2640>	<1360>
25	<3353>	<1727>

Docket No. 960329-WS
Gulf Utility Company

1 As for charitable contributions, none were included in
2 test year expenses so audit exception No. 3 is not
3 applicable to the MFR's.

4 As for Mr. Moore's business and office expenses, he
5 stated on page 16 of his rebuttal testimony that Ms.
6 Dismukes allocations are not factual. Mr. Cardey on
7 page 10 of his rebuttal testimony also demonstrated
8 Ms. Dismukes was in error. Her testimony should not
9 be considered by the Commission.

10 OPC's "Unanticipated Expenses" is a misnomer. The
11 Company must allow for miscellaneous expenses that
12 occur year in and year out, not itemized specifically.
13 These expenses occur in the normal course of business.
14 OPC's proposal should be rejected.

15 As for director's fees, Mr. Moore in his rebuttal
16 testimony starting on page 28, indicate they were
17 normal and reasonable for a Company such as Gulf. Ms.
18 Dismukes suggestion should be rejected.

DEPRECIATION

20 Q. Returning to Schedules 1 and 2 of Exhibit (CBA-2),
21 would you comment on the adjustments in depreciation?

22 A. As a general observation, all parties are using the
23 same depreciation rates. Therefore the difference has
24 to be in the amount of property being depreciated
25 and not in the rates. It is pointed out that the

Docket No. 960329-WS
Gulf Utility Company

1 in the Company's computation of depreciation, namely
2 reducing depreciation expense for retirements. Gulf
3 agrees with Staff and for the test year ending
4 December 31, 1996, the adjusted depreciation expense
5 and Reserve For Depreciation are shown on
6 Exhibit_(CBA-3). The adjustments are:

	<u>Water</u>	<u>Wastewater</u>
7 Depreciation Expense	\$78,338	\$42,770
8 Depreciation Reserve	\$87,458	\$42,770

9 I do want to point out an error by Staff in the
10 computation of depreciation in the wastewater
11 operations. In December 1995 Gulf put into service
12 Three Oaks WWTP. Since the test year is 1996, Gulf
13 depreciation of this plant includes 12 months of
14 depreciation. Staff on the other hand used the twelve
15 month period of September 1995 through August 1996.
16 In Staff's depreciation, they included the
17 depreciation of the plant for 10 months of December
18 1995 through August 1996 but excluded the 2 months of
19 October and November of 1995.
20

21 This illustrates the problem of not all parties using
22 the test year approved by the Commission, namely the
23 calendar year 1996, in reviewing the operations of the
24 Company.
25

AMORTIZATION OF CIAC

- 1
- 2 Q. Ms. Welch has proposed the Company change its
3 procedure on amortization of CIAC. What are your
4 comments?
- 5 A. The Company amortizes CIAC using a composite
6 amortization rate that is the same as the composite
7 rate of utility plant, excluding common plant. This
8 is one of the alternative methods permitted under
9 Commission Rule 25-30.140 Florida Administrative Code.
10 Gulf has been doing this for a number of years.
11 Ms. Welch has proposed that CIAC be amortized by
12 functions, which is a change from the Company's
13 present permitted practice. In discussions with
14 Staff, we differ on some of the underlying procedures
15 of implementing Ms. Welch's proposal, and we think a
16 rate case is the wrong forum for settling these
17 differences. We will be happy to sit down with Ms.
18 Welch after this case, and work out a program
19 acceptable to both of us, then implement that program
20 in the future. This case should use the Company
21 amortization practice now in effect which is permitted
22 by rule and has been accepted by the Commission
23 historically.
- 24 On Staff audit, which is audit exception 2 of the
25 audit report dated November 12, 1996, Gulf has these

1 | comments on the study as it relates to "cash" CIAC.

2 | (1) Staff's proposal is for a period other than the
3 | test year ended December 31, 1996. Staff used a
4 | period from September 1995 through August 1996
5 | which fails to reflect plant additions, plant
6 | retirements and additional CIAC in the last four
7 | months of 1996.

8 | (2) The test year is a 13 month average, and Staff
9 | used "the plant at 8/96..." to determine average
10 | rates (page 5, 4th paragraph, line 2 on Audit
11 | Report). This is inconsistent with the MFR
12 | requirements for developing a test year.

13 | (3) On the water operations, the capacity fees are
14 | \$800/ERC at existing rates and \$550/ERC at
15 | proposed rates. The development of these charges
16 | includes the investment in accounts set out on
17 | Exhibit_(CBA-4).

18 | In the proposed capacity changes, these costs
19 | were \$990/ERC, which was reduced to \$550/ERC to
20 | keep the level of CIAC within the 75-25% rule.
21 | When Staff developed an average amortization rate
22 | for cash CIAC they omitted some of the functions
23 | used in computing the capacity charge in the
24 | first instances, which introduces an error.

25 | (4) On the wastewater operations, the existing

Docket No. 960329-WS
Gulf Utility Company

1 capacity fees are \$550/ERC which were increased
2 to \$800/ERC, and at this level keeps CIAC within
3 the 75-25% rule.

4 Exhibit CBA-3, again compares the accounts the
5 Company used in developing the capacity charges.
6 I believe Staff used all accounts, except land,
7 in developing the amortization rate applicable to
8 cash CIAC.

9 It is my recommendation to the Commission that
10 the Company's existing practice of amortization
11 of CIAC be used in this case.

12 TAXES, OTHER THAN INCOME

13 Q. Staff in their audit made three adjustments to taxes,
14 other. Please comment on these adjustments.

15 A. The adjustments are:

16 The Company's computation of Regulatory assessment tax
17 did not equate to 4.5% of revenues.

18 Water Wastewater

19 Gulf agrees with Staff and the

20 adjustment is \$< 715> \$<1,051>

21 The second adjustment is

22 allocating payroll taxes on a

23 payroll rather than a customer

24 basis and Gulf agrees with Staff. \$<3,850> \$ 3,850

25 \$<4,565> \$ 2,799

Docket No. 960329-WS
Gulf Utility Company

1 The tax bill for 1996 is higher than estimated by Gulf
2 on its Schedule B-15, by \$7,500 for water and \$14,800
3 for wastewater. The Company's MFR's have not been
4 changed to reflect the higher taxes.

5 RATE BASE

6 Q. Staff in their audit, indicated the wastewater plant
7 account was overstated by \$2,765. Do you agree with
8 that adjustment?

9 A. Yes, I do.

10 Q. In one of Staff's data requests, the Company furnished
11 the latest cost on various construction projects.
12 What is the Company proposing in this docket?

13 A. The Company is proposing to use the cost included in
14 the MFR's, even though the later costs are somewhat
15 higher.

16 Q. Would you comment on the \$300,000 grant under the
17 South Florida Water Management District Alternative
18 Water Supply Grant Program?

19 A. The grant was not included in the MFR. Gulf requested
20 funding under the South Florida Water Management
21 District's Alternative Water Supply Grants Program in
22 the amount of \$375,000 for preservation of potable
23 water through the development of alternative sources
24 of irrigation water.

25 On November 14, 1996, the Governing Board of the

Docket No. 960329-WS
Gulf Utility Company

1 District approved a grant of \$300,000. The \$300,000
2 grant will be recorded in CIAC and this is reflected
3 in the "test year rate base, as adjusted"
4 (Exhibit_KRC-7).

5 The grant will fund the cost of constructing and
6 installing a portion of the control system and
7 instrumentation for monitoring flow and quality
8 parameters at the three effluent reuse disposal sites.

9 AUDIT DISCLOSURES

10 Q. Do you have additional comments on specific audit
11 disclosure that were in Staff's Audit Report dated
12 November 12, 1996?

13 A. My comments on specific audit disclosures are as
14 follows.

15 Audit Disclosure No. 5: Included in the test year
16 operating expenses is the amortization of the San
17 Carlos water line project. This project was to serve
18 an area with individual wells, and without mandatory
19 hook-up, the project was not economically feasible.
20 The project was abandoned and is being amortized over
21 5 years. Audit Disclosure No. 5 has not proposed any
22 adjustment.

23 Audit Disclosure No. 6: Audit Disclosure No. 6
24 summarizes the capital expenditures included in the
25 test year. While later cost estimates show higher

Docket No. 960329-WS
Gulf Utility Company

1 cost, the amounts shown in the MFR's are reasonable,
2 and Gulf has made no adjustments to cost.

3 Audit Disclosure No. 7: The MFR's for 1996 use the
4 proposed capacity fees while the general ledger
5 reflects present capacity fees. Only 8 months of 1996
6 was audited and at present rates.

7 Per ERC

	<u>Water</u>	<u>Wastewater</u>
8 Present	\$800	\$550
9 Proposed	\$550	\$800

10
11 Audit Disclosure No. 14: The statement that Gulf's
12 forecast of expenses uses a zero base budgeting
13 approach is not the method Gulf used in estimating
14 1996 test year expenses.

15 BUDGET METHODOLOGY

16 Gulf started by reviewing 1995 operations, and
17 adjusted it for known changes in 1996. The annual
18 budget is compiled in the ordinary course of business.
19 The process begins in July or August with a meeting of
20 management. The previous year expenses are reviewed
21 and adjusted for known changes--such as unit price
22 changes of supplies, changes in treatment process,
23 changes in number of units required, and changes in
24 number of employees--during numerous meetings with
25 management and their support staff before submittal to

1 the CEO for approval at the beginning of December,
2 with the final budget submitted to the Board of
3 Directors for final approval at the year end board
4 meeting. The 1996 budget was adjusted for known
5 changes at the time of preparation of MFRs.

6 Comments on specific items of the financial statements
7 follow.

8 REVENUES

9 The projected revenues in 1996 were determined by
10 first projecting customer growth by classes of
11 service, including meter size within each class.
12 Monthly customers for 1996 is shown on Exhibit 3 and
13 Exhibit 4 of the MFR.

14 Within each class of service, m gal usage/bill was
15 determined based upon 1995 operations. The annual
16 usage/bill times the number of bills in 1996, for each
17 meter size in each class of service, established the
18 annual volumes.

19 Next the bills and volumes were multiplied by the
20 present rates to determine revenues in 1996. This
21 information is shown in Schedule E-13 of the MFRs and
22 further explained on page 16-18 of Cardey's direct
23 testimony.

24 Operating expenses for 1996 test year were calculated
25 by reviewing the 1996 budget. Illustrations of

Docket No. 960329-WS
Gulf Utility Company

1 estimates for the 1996 test year are:

2 Salaries & Wages: This is based upon the actual
3 employees at their 1996 wage rates.

4 Purchased Power-Water: 1995 average cost/m gal times
5 estimated flow of 743,213 thousand gallons in 1996

6 Purchased Power-Sewer: The Three Oaks WWTP-Expansion
7 went into operation in 1995. The power cost in March
8 1996 was representative of the level of cost of
9 operating the new plant and was annualized for 1996.
10 San Carlos WWTP-Actual power cost for January through
11 March 1996 was annualized for 1996.

12 Lift Stations: - based upon 1995 average power cost
13 per lift station, adjusted for additional lift
14 stations added in 1996.

15 Chemicals-Water: The cost is based upon current price
16 of chemicals, expressed as \$/mgd times 1996 flows.

17 Chemicals-Sewer: Known usage of chlorine and hydrogen
18 peroxide was priced at current cost per pound.
19 Hydrated lime usage is related to amount of sludge
20 removal (estimated sludge of 720 loads per year is
21 based upon projected 1996 flows times pounds per load
22 times price of chemicals per pound).

23 Sludge Hauling: Number of loads per year was based on
24 estimated flows for 1996.

25 Depreciation: The Company uses depreciation rates

1 provided for in Commission rule, applied monthly to
2 plant balance.

3 Taxes, Other Than Income: Property taxes are based
4 upon 1995 taxes and estimated changes for 1996. The
5 estimates for 1996 are based upon discussions with
6 local tax authorities plus additions to plant
7 projected for the year.

8 Payroll taxes are based upon 1996 payroll and the
9 effective tax rates for 1996.

10 Construction: The capital expenditures used in 1996
11 was made in the normal course of business and includes
12 estimates for meters, small main extensions plus major
13 items. These estimates are the product of field
14 personnel, professional engineers, and management with
15 final approval by the Board of Directors of the
16 Company.

17 Attached as Exhibit_(CBA-5) is a copy of detailed
18 capital expenditures included in the Company's MFR's.
19 This same schedule was provided to both Staff and OPC.
20 Exhibit_(CBA-5), which includes the actual
21 expenditures in the first 3 months of 1996 and
22 estimates for the remaining 9 months. A summary of
23 this budget is:

24	Water	\$1,423,976
25	Wastewater	\$1,229,400

Docket No. 960329-WS
Gulf Utility Company

1 General \$ 55,827

2 \$2,709,203

3 The general plant is allocated 66% to water and 34% to
4 wastewater.

5 On site facilities that are installed by developers
6 and contributed are not included, nor are meter cost
7 that are again off-set by fees.

8 Retirements are based upon the original cost of the
9 property after reflecting the cost of removal.

10 Working Capital: The Company working capital forecast
11 was based on the balance sheet method required by
12 present Commission rules, with the details set forth
13 on Schedule A-17, page 1 of the MFR'. Staff in their
14 exception 5 indicated the Company did not provide the
15 "forecast methodology" for the projection.

16 The foundation of a balance sheet is the following
17 financial estimates that were all given to Staff, who
18 in turn discussed these documents with the Company
19 personnel, therefore they have a good working
20 knowledge of the methodology used by the Company.

21 Monthly projected income statement
22 Monthly projected construction budget
23 Monthly projected cash flow
24 Monthly projected debt service
25 Monthly financing schedule

Docket No. 960329-WS
Gulf Utility Company

1 Monthly projected deferred income 1-A & C.
2 These documents provide the basis of developing the
3 balance sheet shown on Schedule A-18 of the MFR, and
4 cover major assets and liabilities shown on Schedule
5 A-18. Smaller items, such as prepayment, that are
6 paid quarterly, are reviewed separately. Separate
7 reviews were done on other items.

8 Staff in Audit Exception No. 5 of the Audit Report
9 dated November 12, 1996, compared their determination
10 of working capital with the Company's. Except for 2
11 or 3 items, the major difference is due to different
12 time periods, not in items to include in the
13 determination of cash working capital.

14 Mr. Nixon, in his rebuttal testimony will discuss the
15 items he agrees or disagrees with Staff.

16 Q. Does that conclude your testimony?

17 A. Yes, it does.

18

1 Q (By Mr. Gatlin) Do you recognize this
2 black book in front of me?

3 A Yes, I do.

4 Q What is that?

5 A That's the binder that we keep the working
6 papers which were used to prepare the MFRs in, and
7 also any additional faxes or things that we may have
8 received since we have prepared the MFRs.

9 Q Was a copy of that furnished to OPC and the
10 PSC Staff?

11 A Yes.

12 MS. O'SULLIVAN: Commissioners, it's being
13 admitted as an exhibit? And I would have to object.

14 MR. GATLIN: No.

15 MS. O'SULLIVAN: It's additional testimony,
16 then?

17 MR. GATLIN: Yeah, I guess so, or additional
18 rebuttal testimony to Ms. Welch. The witness is
19 available for questions.

20 COMMISSIONER DEASON: Mr. Reilly.

21 MR. REILLY: We're going to hand out an
22 exhibit. If I could possibly get a number for
23 identification purposes.

24 COMMISSIONER DEASON: Yes, 46.

25 MR. REILLY: And the short title for this

1 exhibit is Response to OPC Document Request 23,
2 Leasehold Improvement Amortization.

3 (Exhibit 46 marked for identification.)

4 **CROSS EXAMINATION**

5 **BY MR. REILLY:**

6 Q Ms. Andrews, I've arranged to be handed to
7 you a document that was provided to OPC in response to
8 our Document Request No. 23. If you flip to the first
9 page, you'll see that this is where we've asked for a
10 copy of all audit requests of the Commission's Staff
11 and the Company's response to these requests.

12 The second page of this exhibit, not
13 including the cover page, contains questions that were
14 asked by Staff auditors and Gulf's response; so of
15 course this is just a very partial listing of what you
16 did provide to Staff. Are you with me?

17 A Yes.

18 Q And if you could look at the text with the
19 No. 2 next to it, am I correct that this indicates
20 that Gulf spent \$52,855.98 on leasehold improvement
21 for the leased office space we've been talking about?

22 A Yes.

23 Q That they are leasing from Caloosa?

24 A Yes.

25 Q And that the Utility is proposing to collect

1 an amortization of 10,571.20 per year?

2 A That is the duration of the lease.

3 Q Okay. Thank you. Did you assist in the
4 preparation of the 1996 budget that was used for the
5 projected 1996 test year in this case?

6 A Yes.

7 Q Am I correct that the '96 budget was
8 developed by reviewing '95 operations and adjusting
9 '95 expenses for known changes in '96?

10 A Yes.

11 Q And such known changes might be unit price
12 changes of supplies, changes in number of employees
13 and the addition of plant capacity?

14 A Yes.

15 Q At the top of Page 7 of your rebuttal
16 testimony, you state that charitable contributions
17 were not included in the projected test year; is that
18 right?

19 A Yes.

20 Q Do you have a copy of the MFRs with you?
21 And would you look at Page 76. On this Page 76 there
22 is a total listed for miscellaneous expenses of
23 \$71,289; is that correct?

24 A One moment. Let me get there.

25 Q Okay. I would give you a numbered line, but

1 there isn't one.

2 A You said miscellaneous?

3 Q Yes. It's a total. Apparently a total of
4 miscellaneous.

5 A Yes, I see that.

6 Q 71,289?

7 A Yes.

8 Q Okay. Now, on August 22nd, 1996, Gulf
9 provided the Staff of the Commission with some
10 additional information concerning the MFRs. Are you
11 familiar with this information? I'm handing it out
12 right now. It's an appendix C, which gave more
13 detailed information concerning projected expenses; is
14 that correct?

15 A Yes.

16 Q Do you have that information before you?

17 A Yes, I do.

18 MR. REILLY: If I could possibly get another
19 number of this exhibit for identification purposes.

20 COMMISSIONER DEASON: Yes, Exhibit 47.

21 (Exhibit 47 marked for identification.)

22 MR. REILLY: Thank you.

23 Q (By Mr. Reilly) Now if I could direct your
24 attention to Page 2 of this appendix, not again
25 including the cover page, I believe, it has

1 miscellaneous expenses there near the bottom. It says
2 Total General Miscellaneous Expenses, 71,289?

3 A Right.

4 Q And that, I guess, provides the additional
5 support for that MFR number?

6 A That is correct.

7 Q Okay. Thank you. Now we're going to hand
8 out one last exhibit, and this is -- did I give a
9 short title to that No. 46? I'm not sure.

10 COMMISSIONER DEASON: Detailed description,
11 Schedule B-3 notes.

12 MR. GATLIN: And the exhibit number is 46?

13 COMMISSIONER DEASON: That was 47.

14 MR. GATLIN: Okay.

15 COMMISSIONER DEASON: And the exhibit which
16 is just being distributed will be Exhibit 48.

17 MR. REILLY: Now, this short title for this
18 exhibit is Response to OPC Document Request No. 32,
19 1996 Budget.

20 (Exhibit 48 marked for identification.)

21 Q (By Mr. Reilly) Now, this exhibit contains
22 the Company's 1996 budget; is that correct?

23 A Yes.

24 Q Could I have you please turn to the numbered
25 Page 11, circled number 11? Am I correct that this

1 shows miscellaneous expense again to be 71,289, the
2 same exact number that continues to flow through each
3 of these documents?

4 A That's correct.

5 Q So all three items tie together, and we're
6 basically talking about the same collection of
7 expenses, are we not?

8 A The same amount, but not the same makeup.

9 Q Okay. Well, that's what we're going to get
10 to. On this exhibit there is a listing of items
11 included in miscellaneous expenses. The third item
12 down on the list is charitable contributions of
13 \$2,000; is that correct?

14 A Yes.

15 Q And the fourth item down on the list is
16 political contributions of \$1,200; is that correct?

17 A Yes.

18 Q Would you agree with me that your budget
19 includes 3,200 of charitable and political
20 contributions and that the total amount of
21 miscellaneous expenses shown in your budget matches
22 the total amount of miscellaneous expenses shown on
23 the MFRs?

24 A It does match. The totals do match, yes.

25 Q Now, we've compared the expenses shown on

1 this exhibit with those shown on appendix C, Page 2
2 and we've matched every single item except these two
3 items of charitable contribution and political
4 contributions?

5 A Right; they're not included.

6 Q Now my question to you is, would you explain
7 to the Commission why your budget included \$3,200 for
8 charitable and political contributions, but when the
9 numbers were put into the MFRs, the \$3,200 is
10 reflected not as political contributions and
11 charitables, but as customer service questionnaire?

12 A Well, as you know, you're looking at two
13 different time frames. The budget was prepared
14 obviously for the use for -- by the Company. The MFRs
15 were prepared in order to achieve what we're achieving
16 now.

17 The questionnaire which we sent to the
18 customers, I believe in the middle of summer or late
19 summer of this past year, 1996, was going to cost
20 approximately \$3,200, and actually I think cost a
21 little bit more; and so we felt that it was
22 appropriate that it be included in the MFRs and that
23 we be able to recoup that cost, because it is
24 important to us to know what our customers are
25 thinking of our quality, what types of improvements

1 they would like to see, any ideas they may have to
2 share with us.

3 Q Is it possible when tracing the detail to
4 all the support of these MFR numbers that the
5 political contributions and charitable contributions
6 fell out because they would not have been deemed an
7 appropriate purpose to be put into the revenue
8 requirement?

9 A We would not include them in the MFRs
10 because they're not allowed.

11 Q And yet --

12 A We removed anything out of the budget that
13 would not be appropriate to be included in the MFRs.

14 Q And yet all the backup seems to speak to the
15 fact that it's really political contributions and
16 charitable contributions?

17 A No. The money was spent for the customer
18 survey and, as a matter of fact, I believe you have
19 the results of that survey. We gave you a summary and
20 you have all that information.

21 It was requested, I know, in an
22 interrogatory. I can't tell you exactly which one
23 right now, but we did give you a summary of the survey
24 which was prepared and the results of the survey. We
25 gave you a copy of what the survey was and also the

1 results.

2 MR. REILLY: Okay. We don't have anything
3 further.

4 COMMISSIONER DEASON: Staff.

5 CROSS EXAMINATION

6 BY MS. O'SULLIVAN:

7 Q Ms. Andrews, are you saying that the
8 exhibits that Mr. Reilly just passed out support the
9 fact that charitable contributions are not included in
10 the budget?

11 A They're not in the budget -- they're in the
12 budget. They're not in the MFRs.

13 Q Okay. But you would agree that the
14 charitable conclusions were in the audited accounts
15 for these expenses for the period 1995 September
16 through August '96?

17 A You're talking about historic?

18 Q Right; in the audits period. Would you
19 agree these amounts were in the audited period?

20 A I'm not following you. I'm sorry. Could
21 you restate the question?

22 Q Certainly. Would you agree that the
23 charitable contribution amounts were in the audited
24 accounts for miscellaneous expense for the period
25 September '95 to August '96?

1 A Are you saying did we spend the money that
2 we had in the budget for charitable contributions? Is
3 that what you're asking me?

4 Q Just a moment. (Pause) I guess I'm
5 referring to Audit Exception No. 3 and the numbers
6 that fell out of that audit.

7 A Hold on just a moment. I'm looking for that
8 audit report you're referring to. If you just read it
9 to me, I'm sure it will refresh my memory.

10 Q Okay. Just a moment.

11 A I found it. Which page?

12 Q That would be Page 10 of the audit report.

13 Would you agree -- I'll let you get to that page.
14 Audit Exception No. 3 on Page 10 of the audit report,
15 would you agree that the Utility did include an amount
16 of charitable contributions in Accounts 675.8 and
17 775.8?

18 A We did. This is the historic information.
19 It was not included in the MFRs, and we would not
20 expect it to be accepted as part of the revenue
21 requirement. What the auditors were doing is they
22 were auditing historic information. They were not
23 looking at the MFRs at this time.

24 Q Right. Did Gulf rely on the previous year's
25 expense and budget in order to project the budget for

1 1996?

2 A We did, as a foundation.

3 Q Why didn't Gulf file any comments to the
4 exception in its response to the Staff audit report?

5 A Because this was just a comment made by her
6 and we agreed with it. They were expended. There was
7 no question about it. It was not included in the
8 MFRs. And she was looking at historical information,
9 and we do support local civic organizations,
10 especially the youth leagues that are in the
11 community; and we feel it's very important to do that.

12 Q I'd like to refer you next to Page 7 of your
13 rebuttal testimony which addresses unanticipated
14 expenses beginning on Line 10. I know you have that
15 in front of you.

16 A Line 7 -- Line 10; I have it.

17 Q Why is it reasonable to allow customers to
18 pay for expenses that cannot be identified?

19 A Well, I think that everyone knows, or most
20 utility companies would agree, that you're always
21 going to have expenses that you can't necessarily
22 anticipate.

23 In this case what happened to this Utility
24 is we hired a safety consultant which we needed
25 desperately. We do not have anyone on Staff who is

1 really qualified to manage our safety program and it's
2 becoming more and more important that we meet -- be
3 able to do the training that's necessary in order to
4 meet OSHA standards. Therefore, we did hire a
5 consultant, and I have the cost of that, which was --
6 hold on a moment.

7 I'll tell you -- I'm sorry. I don't know
8 where my assistant put the note.

9 Q Okay. That's fine.

10 A But I do know that what we did is we hired
11 an outside firm in order to do this training for us,
12 and the cost was even more than what we had for
13 unanticipated expenses, and it happens annually that
14 this occurs. It may not be -- obviously, when we do
15 the next budget we'll include that expense, but it
16 will be something else, if not this, that will come up
17 that we'll need to be spending money for; and in order
18 for us to accurately do a forecast, we need to
19 consider that, and I think the Commission needs to
20 consider that because that's going happen to any
21 utility no matter who they are.

22 You're going to have expenses that will
23 occur that you do not anticipate that are necessary as
24 a part of the ongoing operations of the Utility.

25 Q Isn't the whole purpose of a projected test

1 year to anticipate every expense and budget for it?

2 A It would be a wonderful world if we could do
3 that, but unfortunately, we're human and we cannot
4 have a crystal ball and know everything that's going
5 to occur within a test year; and being projected, of
6 course, that's -- just like our budget. We do the
7 best we can with the knowledge that we have at the
8 time, and we know for a fact that there will be
9 expenses that occur that we have not -- that have not
10 occurred yet; in other words, there have not been
11 events that have occurred in order to make the expense
12 necessary.

13 Q How would the Commission be assured that
14 this amount does not include nonutility related
15 expenses if not identified ahead of time?

16 A I would be happy to show you the bill for
17 the consultant.

18 Q My question was in general. The Commission
19 does not know when you list unanticipated expenses
20 what they're going to be spent on, so how could the
21 Commission be assured in general that the expenses do
22 not end up being used for nonutility related expenses?

23 A Well, I don't know that you would know that.
24 I know that it is not an unreasonable amount of money,
25 and it is probably too low, actually. It's going to

1 be much greater than that, of course.

2 Q Moving to Page 8 of your testimony, you
3 identify the Utility's suggested adjustments to
4 depreciation and -- accumulated depreciation, and you
5 list amounts for water and wastewater. Do you have
6 any work papers or documentation which indicate how
7 you arrived at these proposed adjustments?

8 A Yes, I do.

9 Q Could you provide those as a late-filed
10 exhibit entitled Utility's Proposed Adjustments to
11 Depreciation Expense and Accumulated Depreciation?

12 A Yes.

13 Q If I could give -- let me make sure you
14 could provide the information. That would reflect
15 detailed calculations of depreciation expense by
16 primary account with columns for 13-month average
17 projected plant with any plant adjustments included in
18 the filing, each depreciation rate used, and the
19 resulting depreciation expense?

20 A Yes.

21 MS. O'SULLIVAN: Commissioner Deason, I
22 believe that would be Late-filed Exhibit No. 49.

23 COMMISSIONER DEASON: Yes, that's correct.

24 (Exhibit 49 marked for identification.)

25 MS. O'SULLIVAN: Thank you.

1 **Q** (By Ms. O'Sullivan) Next line of
2 questioning addresses Audit Exception No. 2, composite
3 amortization rates for CIAC. Does the Utility
4 currently maintain records of CIAC by function such as
5 line main extension fees, hydrants, DOT permits?

6 **A** We do now. When -- I know when I originally
7 came to the Utility the records were not as detailed
8 as they are now, and they were using the composite
9 rate at that time, and we've continued to do so. As I
10 mentioned in my rebuttal testimony, this is one of the
11 acceptable methods and we would be happy to sit down
12 with Commission Staff and discuss, you know, whatever
13 is -- you feel is more appropriate, but we were trying
14 to follow the guidelines that we had at that time.

15 **Q** Okay. You mentioned that previously the
16 Utility had not had the records maintained by
17 function. Approximately when did they switch over to
18 maintain them by function?

19 **A** I cannot give you the definite date. It was
20 an evolution. I came to work for the Utility in the
21 '80s, and it was over a period of time that I was able
22 to accomplish that.

23 **Q** All right. But during -- at the time that
24 the Utility filed its rate case in this docket, they
25 were broken down by function; is that correct?

1 A Correct.

2 Q And referring to your testimony on Page 9,
3 Lines 5 through 10, you discuss the Utility's current
4 practice of amortizing CIAC using a composite rate,
5 and you state that this is one of the alternative
6 methods permitted under the rule, which is Rule
7 25-30.140; is that correct?

8 A Yes.

9 Q I'm going to give you a copy of that rule
10 and have you take a look at it. I assume you've
11 reviewed the rule before?

12 A Yes, I have.

13 Q I'm referring to subsection 8(a). You would
14 agree this is the section that outlines the
15 appropriate method of amortizing CIAC; correct?

16 A Correct.

17 Q Okay. Could you point out where in this
18 rule it says that it's all right to -- or that it's
19 optional to amortize CIAC using composite rate? I
20 know it's a long paragraph there.

21 A It says on the last line "Otherwise, a
22 composite rate amortization -- I only have part of the
23 page. Excuse me. The copy is cut off. "Otherwise,
24 the composite plant -- looks like "amortization rate
25 should be used".

1 Q That's the sentence you referred to is --

2 A Right.

3 Q Okay. If you -- read out loud the previous
4 sentence before that one.

5 A Oh, I understand what you're saying. Once
6 you do have the CIAC broken out by function, then I
7 guess there are other methods that are applicable to
8 do the amortization rather than the composite method.
9 We acknowledge that.

10 Q Okay. So is it your testimony that if the
11 accounts are broken down by appropriate function, it's
12 still optional the Utility may wish to use the
13 composite rate?

14 A I'm saying we did use the composite rate in
15 the MFRs.

16 Q Even though the rules says that the
17 amortization rate shall be that of the appropriate
18 account function where documentation is available?

19 A Yes.

20 Q So you believe -- do you believe that there
21 are two options? The Utility can choose to use the
22 composite rate, or use the appropriate account
23 function rate?

24 A I didn't say that. I said we used the
25 composite rate in preparing the MFRs. We continue

1 using the type of amortization that we had been using
2 in the past. We also said we would be willing to meet
3 with Staff to discuss what method would be appropriate
4 for the Utility.

5 Q Do you believe that a rate proceeding would
6 be the appropriate time to determine what the
7 appropriate rate should be?

8 A You mean in this forum?

9 Q Yes.

10 A I don't think so.

11 Q Why wouldn't a rate proceeding be the
12 appropriate time to determine the appropriate rate of
13 amortizing CIAC?

14 A I'm not sure I understand what you're
15 asking. Ask you saying that we should decide right
16 now how to amortize it?

17 Q As a result of the outcome of the case.

18 A I'm not sure I understand your question.

19 Q I'll withdraw the question.

20 COMMISSIONER CLARK: What she means is would
21 now be a good time it clarify it, so from this point
22 forward that you're complying with the rule?

23 WITNESS ANDREWS: I thought I had said that.
24 I said we would be willing to sit down with Staff and
25 discuss the appropriate method that we feel is right

1 for the Utility.

2 COMMISSIONER CLARK: And that probably
3 should be accomplished as a result of this proceeding?

4 WITNESS ANDREWS: That's what I said, yes.
5 That's in my rebuttal testimony.

6 Q (By Ms. O'Sullivan) So you think a rate
7 proceeding wouldn't be the appropriate forum to
8 determine the appropriate composite -- or the
9 appropriate rate of an element of the rate case?

10 COMMISSIONER CLARK: Maggie, I think she's
11 interpreting what you're saying is, should we sit
12 right down and all of us figure it out now.

13 MS. O'SULLIVAN: Okay. I'll withdraw the
14 question.

15 Q (By Ms. O'Sullivan) In your rebuttal on
16 Pages 9 and 11 you state that staff Witnesses Welch --
17 Staff Witness Welch's calculations regarding
18 amortization of CIAC are wrong because she used the
19 period from September '95 through August '96, and that
20 this period fails to recognize -- or reflect plant
21 additions, retirements, and additional CIAC for the
22 rest of 1996; is that correct?

23 A Yes.

24 Q If the Commission finds that the Utility's
25 methodology for amortizing CIAC is incorrect and that

1 an adjustment is necessary in this case, what dollar
2 adjustment do you believe is appropriate to correct a
3 13-month average balance included in the MFRs?

4 A I couldn't tell you that right now.

5 Q Could you provide the information at a later
6 date as a late-filed exhibit?

7 A I would try.

8 MS. O'SULLIVAN: I would request that be
9 identified, I guess, as Late-filed Exhibit No. 50.

10 COMMISSIONER DEASON: Yes, 50. Could we
11 have a short title, please?

12 MS. O'SULLIVAN: Certainly. Dollar
13 Adjustments Necessary to Correct 13-Month average
14 Balance Included in the MFRs if the Commission Finds
15 that the Utility's Methodology for Amortizing CIAC is
16 Incorrect.

17 COMMISSIONER DEASON: I'm just going to
18 entitle it Adjustments Necessary for CIAC
19 Amortization.

20 (Exhibit 50 marked for identification.)

21 MS. O'SULLIVAN: That sounds better.

22 Q (By Ms. O'Sullivan) Referring one more
23 time to your testimony on Page 9, Lines 13 through
24 20 -- I'm sorry. Strike that question. I've already
25 asked that.

1 MS. O'SULLIVAN: Staff has no further
2 questions. Thank you.

3 COMMISSIONER DEASON: Redirect.

4 REDIRECT EXAMINATION

5 BY MR. GATLIN:

6 Q Is the Lee Hospital in the remainder of the
7 building where Gulf is situated?

8 A Yes.

9 Q Didn't they spend over \$200,000 in leasehold
10 improvements?

11 A Yes.

12 MR. GATLIN: That's all I have.

13 COMMISSIONER DEASON: Exhibits.

14 MR. GATLIN: 45, I move that exhibit.

15 COMMISSIONER DEASON: Without objection, 45
16 is admitted.

17 (Exhibit 45 received in evidence.)

18 MR. REILLY: I would move 46, 47 and 48.

19 COMMISSIONER DEASON: Without objection

20 Exhibits 46, 47 and 48 are admitted.

21 (Exhibits 46, 47 and 48 received in
22 evidence.)

23 COMMISSIONER DEASON: 49 and 50 are

24 late-filed. Thank you Ms. Andrews.

25 (Witness Andrews excused.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

- - - - -

COMMISSIONER DEASON: Perhaps now would be an appropriate time to review the exhibits. According to my record, all exhibits that have been identified have been admitted with the exception of Exhibit 2, Exhibit 7, which is late-filed, Exhibit 11, which is late-filed, Exhibits 13 and 14, Exhibits 16 and 17 which were withdrawn, Exhibit 25, which was withdrawn, and Exhibits 49 and 50, which are late-filed.

MS. O'SULLIVAN: Commissioner, I believe we failed to address 13 and 14. As you recall, yesterday there were documents presented by the Utility that Staff hadn't had a chance to look at, Exhibits No. 13 and 14.

Staff has no objections to Exhibit No. 13, and if I can verify that Exhibit No. 14 addresses Audit Exception No. 11, I believe, then I would not have an objection to that either.

COMMISSIONER DEASON: Okay. You have no objection to Exhibit 13. Mr. Reilly, is there an objection to Exhibit 13?

MR. REILLY: No objection.

COMMISSIONER DEASON: All right. Show then that Exhibit 13 is admitted.

(Exhibit 13 received in evidence.)

1 **COMMISSIONER DEASON:** Ms. O'Sullivan, can
2 you clarify what clarification you need for Exhibit
3 14?

4 **MS. O'SULLIVAN:** Certainly. It appears --
5 we were not able to ascertain when they were being
6 admitted what they were related to exactly; and we
7 believe it's Audit Disclosure No. 11, which is the
8 engineering costs for the new university. If that's
9 correct, we have no objection.

10 (Miscellaneous inaudible conversation.)

11 **COMMISSIONER DEASON:** Let me remind everyone
12 we're still on the record, so don't get too casual
13 here.

14 **MS. O'SULLIVAN:** Those are the engineering
15 -- the engineering receipts.

16 **COMMISSIONER DEASON:** Ms. O'Sullivan, do you
17 need to go off the record?

18 **MS. O'SULLIVAN:** Certainly.

19 **COMMISSIONER DEASON:** All right. We'll go
20 off the record until we can get this clarified.

21 (Discussion off the record.)

22 **COMMISSIONER DEASON:** We'll go back on the
23 record.

24 **MS. O'SULLIVAN:** Yes. Staff has no
25 objection to Exhibit 14.

1 **COMMISSIONER DEASON:** Very well. Show that
2 Exhibit 14 is admitted.

3 (Exhibit 14 received in evidence.)

4 **COMMISSIONER DEASON:** What is the status of
5 Exhibit 2? I show that it is a 2/26/97 letter from
6 Butler with contract attached.

7 **MS. O'SULLIVAN:** That was an exhibit that we
8 were going make copies for and file as a late-filed
9 for the parties.

10 **COMMISSIONER DEASON:** Make copies and what?

11 **MS. O'SULLIVAN:** And file as a late-filed.
12 It was presented during the customer testimony from a
13 golf course, San Carlos Golf Course.

14 **COMMISSIONER DEASON:** So we're just going to
15 show that as a late-filed? Is there any objection to
16 that?

17 **MR. GATLIN:** None.

18 **MR. REILLY:** I don't think so.

19 **COMMISSIONER DEASON:** Okay. I believe that
20 addresses all exhibits. Any other matters to be
21 brought up at this time?

22 **MR. REILLY:** No matters.

23 **MS. O'SULLIVAN:** No matters.

24 **MR. GATLIN:** None.

25 **COMMISSIONER DEASON:** Okay. I've been

1 handed a copy of the CASR and it indicates that
2 transcripts are due March the 19th with briefs due
3 April the 3rd, and if there's nothing else, we will
4 stand in recess until 6:30 p.m.

5 (Brief recess)

6

- - - - -

7 COMMISSIONER DEASON: Call the hearing back
8 to order. Let me take this opportunity to welcome the
9 members of the public who have come out and joined us
10 this evening for this phase of the hearing.

11 For your information, we just concluded what
12 we refer to as the technical phase of the hearing, and
13 we're convening this session now to hear from
14 customers.

15 In the way of introductions, let me
16 introduce myself. My name is Terry Deason. I'm a
17 member of the Public Service Commission. I'll be
18 chairing the hearing this evening. With me this
19 evening and seated to my immediate left is
20 Commissioner Susan Clark.

21 To the table in front of me and to my left
22 are representatives of Gulf Utility Company and in
23 front of me to my right is Mr. Steve Reilly who is
24 with the Office of Public Counsel, and seated at the
25 table to my left are members of the Staff of the

1 Public Service Commission.

2 If any of the members of the public have
3 questions which they would like to have resolved, you
4 can address those to members of the Staff. They would
5 be glad to assist you in any way possible.

6 Let me review briefly the procedure we're
7 going to follow this evening. Mr. Reilly will be
8 calling members of the public by name. When your name
9 is called, we ask that you come forward to one of the
10 microphones to the table to my right.

11 This is an official hearing of the
12 Commission. It is being recorded by an official court
13 reporter. Your comments will become part of the
14 record. To enable us to use your comments as
15 evidence, it will be necessary for you to be sworn in
16 as a witness. In just a moment we will take care of
17 that formality.

18 As you entered the auditorium you were
19 provided a special report printed on green paper.
20 This provides you with the background information on
21 this case. Also, the very last page of this report is
22 designed to be detached for those persons who wish to
23 make comments to the Commission but do not wish to
24 actually formally testify at this hearing. If you
25 choose to do that, you may detach this page and write

1 your comments, fold it, and mail it to the Commission.

2 And with that, I'm going to ask the members
3 of the public who have signed up and wish to testify
4 this evening to please stand and raise your right
5 hand.

6 (Witnesses collectively sworn.)

7 COMMISSIONER DEASON: Thank you. Please be
8 seated. Mr. Reilly, you may call your first witness.

9 MR. REILLY: Romeo Antoniazzi.

10 COMMISSIONER DEASON: Sir, if you will begin
11 by giving us your name and your address, and you may
12 wish to spell your name for the benefit of the court
13 reporter, and then proceed with your statement; and
14 when you conclude your statement, wait for just a
15 moment because there may be some questions.

16 - - - - -

17 **ROMEO ANTONIASSI**

18 appeared as a witness and, having been duly sworn,
19 testified as follows:

20 **DIRECT STATEMENT**

21 **WITNESS ANTONIASSI:** My name is Romeo,
22 R-O-M-E-O, Antoniazzi, A-N-T-O-N-I-A-Z-Z-I. I live at
23 20730 Horse Hame Hollow, Estero, Florida. That's in
24 the Villages of Country Creak. Now, it's -- what I'm
25 only concerned most of all is I don't understand the

1 increase in rates. Right now my water bill, it costs
2 me \$2.00 to take away \$1.00 worth of water.

3 With the increase of 28¢, it's going to come
4 to \$2.50 take away \$1.00 worth of water. Now, if I
5 wash my car, water my plants, that does not go into
6 the sewage. Why is the sewage rate so high? I don't
7 understand that. I could see dollar for dollar maybe,
8 but two and a half to one, I can't calculate that.
9 Maybe you can explain it. That's the only thing I
10 have.

11 COMMISSIONER DEASON: Okay. Questions?

12 MR. GATLIN: No questions.

13 WITNESS ANTONIARSI: Can I get an
14 explanation?

15 COMMISSIONER DEASON: Well, I'll let
16 Mr. Gatlin or Mr. Moore to address that question,
17 because they are the ones requesting the particular
18 wastewater rate that you are referring to.

19 MR. GATLIN: Well, we've had two full days
20 of hearings to try to make that determination. The
21 Utility has offered extensive financial information to
22 the Commission such that would support the proposed
23 rates, hopefully.

24 The Staff of the Commission has done audits
25 on Gulf Utility. The Staff of the Commission

1 participated fully in this hearing. The Office of
2 Public Counsel, Mr. Reilly, participated, and he
3 presented two witnesses. None of the experts agree on
4 much of anything. So as a result, you know, this
5 issue will be placed before the Commission, and the
6 Commission after appropriate analysis by the Staff and
7 a recommendation by the Staff, the Commission will
8 have to decide what the rates are going to be for the
9 Company.

10 COMMISSIONER DEASON: Sir, let me -- I don't
11 disagree with what was said, but I think the simple
12 answer to your question is, it's a matter of cost; and
13 some would argue, and I think it probably is generally
14 accepted, that it costs more on a per gallon basis to
15 treat wastewater and dispose of it than it does to
16 provide you water to your home on a per gallon basis.

17 It is a matter of cost and that is why on a
18 gallonage rate usually -- and this is not just this
19 company, but most of the companies that we regulate in
20 the state of Florida -- the wastewater rate is higher
21 on a per gallon basis than it is for water delivered
22 to your home; and it's simply a matter of cost, the
23 engineering and environmental requirements associated
24 with treating wastewater and disposing of it.

25 WITNESS ANTONIASSI: Now, we live at Country

1 Creek which has a golf course, and we get treated
2 water in there for our lakes. I believe we're charged
3 for that water, aren't we?

4 MR. GATLIN: Water into the lakes?

5 WITNESS ANTONIASSI: Yeah, the -- from
6 effluent.

7 MR. GATLIN: No.

8 WITNESS ANTONIASSI: That's given to us
9 free?

10 MR. GATLIN: Not treated water, not drinking
11 water.

12 WITNESS ANTONIASSI: Not drinking water.
13 I'm taking about for the lakes. Is that charged to
14 the Country Creek or is that --

15 MR. GATLIN: No, no.

16 WITNESS ANTONIASSI: No, what?

17 MR. GATLIN: No, it's not charged.

18 WITNESS ANTONIASSI: It's not charged. All
19 right. Thank you.

20 COMMISSIONER DEASON: Thank you, sir. I
21 appreciate you coming this evening.

22 MR. REILLY: Katherine Green.

23 - - - - -

24 KATHERINE GREEN

25 appeared as a witness and, having been duly sworn,

1 testified as follows:

2 **DIRECT STATEMENT**

3 **WITNESS GREEN:** My name is Katherine Green.
4 I'm vice-president of operations for WCI Communities,
5 Limited Partnership. I'd like to read into the record
6 a letter that we have prepared for the Commissioners.

7 **COMMISSIONER CLARK:** Would you tell us who
8 you're with again? I didn't catch that.

9 **WITNESS GREEN:** WCI Communities, Limited
10 Partnership. We are a community development company,
11 and Pelican Landing, River Ridge, Gateway, several
12 local communities are developed by us.

13 **COMMISSIONER CLARK:** Okay.

14 **WITNESS GREEN:** Dear Commissioner Deason and
15 Commissioner Clark; on behalf of WCI Communities, LP,
16 I would like to go on the record as being strongly
17 opposed to the imposition of any fees or charges with
18 respect to reuse water. Last year WCI entered into an
19 agreement with Gulf utilities in Estero, Florida with
20 the understanding that the reuse water they are
21 obligated to provide for our River Ridge community
22 would be free of charge.

23 This solved a problem for each of us. Gulf
24 has an inexpensive and reliable way to rid itself of
25 the by-product of its sewer and water business, and

1 WCI has a way to irrigate its golf course and common
2 areas without utilizing scarce ground water resources.

3 Of necessity and benefit to Gulf, WCI is
4 obligated to receive the water even when we do not
5 require it. This is an obligation we certainly would
6 not agree to if we had to pay a fee for the water.

7 From an economic standpoint, the imposition
8 of fees or charges could have a significant impact on
9 the development and profitability of River Ridge.
10 This measure will certainly negatively affect the
11 consumer who will live and golf there and ultimately
12 pay the bills.

13 From an environmental standpoint, with
14 groundwater resources so strained, it seems very
15 shortsighted to erect any barriers to the widespread
16 use of alternative water sources such as reuse water.

17 Now that the general public seems to have
18 accepted the use of reuse water as an acceptable
19 irrigation alternative, why slow that tide.

20 Again, we urge you to maintain the status
21 quo and do not enact any fees or charges for reuse
22 water.

23 Sincerely Katherine Green.

24 MR. GATLIN: No questions.

25 COMMISSIONER DEASON: Mr. Reilly, questions?

1 **MR. REILLY:** Just a quick one. What is your
2 title with this Company?

3 **WITNESS GREEN:** Vice-president of
4 operations.

5 **MR. REILLY:** Okay. Thank you.

6 **COMMISSIONER DEASON:** Staff.

7 **MS. O'SULLIVAN:** Just a couple of quick
8 questions.

9 In reference to the River Ridge development,
10 is it true that the communities currently has received
11 some reclaimed water but has not yet used it for
12 irrigation; is that correct?

13 **WITNESS GREEN:** Correct. That is correct.

14 **MS. O'SULLIVAN:** Okay. Nothing further.

15 **WITNESS GREEN:** Would you like me to give
16 you this letter or --

17 **COMMISSIONER DEASON:** You can provide that
18 to the court reporter.

19 Mr. Reilly, may call your next witness.

20 **MR. REILLY:** Those are my two witnesses.

21 **COMMISSIONER DEASON:** Has anyone else
22 entered the auditorium? I'm indicating that no one
23 else has entered the auditorium.

24 I want to thank those members of the public
25 who took time out of their schedules to come and join

1 us this evening. We appreciate your comments, and if
2 there's nothing else to come before the Commission,
3 hearing none, this hearing is adjourned. Thank you
4 all.

5 (Thereupon, the hearing concluded at
6 6:50 p.m.)

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

- - - - -


1 STATE OF FLORIDA)
 2 : CERTIFICATE OF REPORTERS
 2 COUNTY OF LEON)


3 We, ROWENA HACKNEY and RUTHE POTAMI, CSR,
 4 RPR, Official Commission Reporters,

5 DO HEREBY CERTIFY that the Hearing in Docket
 6 No. 960329-WS and 960234-WS was heard by the Florida
 7 Public Service Commission at the time and place herein
 8 stated; it is further

9 CERTIFIED that we stenographically reported
 10 the said proceedings; that the same has been
 11 transcribed under our direct supervision; and that
 12 this transcript, consisting of 891 pages, Volumes 1
 13 through 5, constitutes a true transcription of our
 14 notes of said proceedings and the insertion of the
 15 prescribed prefiled testimony of the witness.

16 DATED this 19th day of March, 1996.

17 
 18 ROWENA NASH
 19 Official Commission Reporter
 20 (904) 413-6736

21 
 22 H. RUTHE POTAMI, CSR, RPR
 23 Official Commission Reporter
 24 (904) 413-6732
 25