


BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of : DOCKET NO. 960786-TL

Consideration of BellSouth :  
Telecommunications, Inc.'s :  
Entry into interLATA services :  
pursuant to Section 271 of the :  
Federal Telecommunications :  
Act of 1996. :



SIXTH DAY - MORNING SESSION

VOLUME 25

Pages 2729 through 2903

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN JULIA L. JOHNSON  
COMMISSIONER J. TERRY DEASON  
COMMISSIONER SUSAN F. CLARK  
COMMISSIONER DIANE K. KIESLING  
COMMISSIONER JOE GARCIA

DATE: Wednesday, September 10, 1997

TIME: Commenced at 9:05 a.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: JOY KELLY CSR, RPR  
Chief, Bureau of Reporting  
H. RUTHE POTAMI, CSR, RPR  
Official Commission Reporters

APPEARANCES:

(As heretofore noted.)

DOCUMENT NUMBER - DATE

09188 SEP 10 97

FPSC-RECORDS/REPORTING

## WITNESSES - VOLUME 25

2	NAME	PAGE NO.
3	JOHN H. HAMMAN	
	Cross Examination By Mr. Rankin	2731
4	Cross Examination By Ms. Culpepper	2752
	Redirect Examination By Mr. Hatch	2780
5	JAY BRADBURY	
6	Direct Examination By Ms. Rule	2787
	Prefiled Direct Testimony Inserted	2791
7	Prefiled Rebuttal Testimony Inserted	2887

## EXHIBITS - VOLUME 25

10	NUMBER	ID.	ADMTD.
11			
12	94     JMH-3	2751	2785
13	95     JMH-4	2752	2785
14	96     JMH-5	2752	2785
15	97     Documentation Regarding	2755	
16	BellSouth's inability		
	to provision selctive routing		
17	98     (Late-Filed) BellSouth's	2779	
18	Minues of Meeting Concerning		
	Selective Routing		
19	93		2785
20	99     JB 1-11	2788	
21	100    Revised JB-10 and 11	2789	

**P R O C E E D I N G S**

(Hearing reconvened at 9:05 a.m.)

(Transcript follows in sequence from  
Volume 25.)

**CHAIRMAN JOHNSON:** We're going to go ahead  
and go back on the record.

**JOHN M. HAMMAN**

resumed the stand as a witness on behalf of AT&T  
Communications of the Southern States and, having been  
previously sworn, testified as follows:

**CROSS EXAMINATION**

**BY MR. RANKIN:**

**Q** Good morning. Ed Rankin on behalf of  
BellSouth again.

**A** Good morning.

**Q** When we left I was getting ready to ask you  
some questions about Page 12 of your testimony, so if  
you can turn there, please.

**A** Okay. I'm there.

**Q** At Line 17 you mentioned those live activity  
summaries in the binders that Mr. Milner provided.

**A** Right.

**Q** Do you see that reference?

**A** Yes, I do.

**Q** And those summaries show the numbers of

1 services and elements that BellSouth has provided to  
2 CLECs; isn't that correct?

3       A     That's my understanding of what they  
4 provided in those binders is, in fact, simply that:  
5 The numbers of services that they're providing to  
6 CLECs at this point in time.

7       Q     Do you dispute the accuracy of any of those  
8 numbers contained in those summaries?

9       A     Not in terms of the numbers. What I do  
10 dispute in my testimony is the fact that the question  
11 is whether or not they are providing those in a  
12 nondiscriminatory fashion or not. And I think that's  
13 what the Act calls for, is not just quantities of  
14 services, but includes the fact they are being  
15 provided on a nondiscriminatory basis with that that  
16 BellSouth provides itself. I don't see that in the  
17 operational experience tab in the 86 binders.

18       Q     Let's talk about the number of those  
19 experiences. Later on down the page in your testimony  
20 you say, I think it's Line 24, you say the number of  
21 operational experiences that BellSouth lists is  
22 minimal at best. In your view what is an acceptable  
23 number of operational experiences, Mr. Hamman?

24       A     Well, to try to help define what the number  
25 of operational experiences is is not something that

1 you can put in a quantity yet. It's not a question of  
2 whether it's two loops or 20 loops or 200 loops. It's  
3 really a question of is the quantity and the quality  
4 there that CLECs will be asking for in this new  
5 environment and it's got to be reliable. Being able  
6 to provide one or two or three loops doesn't  
7 necessarily suggest that it can be reliably provided  
8 for the scope that CLECs can be asking for.

9 I know that BellSouth -- from some  
10 information I have seen, they have provided themselves  
11 over a million new access lines a year. That's a  
12 large quantity and I'm sure that those are provided in  
13 a very reliable fashion. I don't know whether it's  
14 a million or not, but it's certainly bigger than the  
15 numbers I see in those binders.

16 Q So the answer is you don't have a number or  
17 opinion on what an acceptable number of experiences  
18 is?

19 A I think I did state my opinion. It's much  
20 bigger than those numbers that are in the binders, and  
21 it also includes the details it says is being provided  
22 on a nondiscriminatory basis.

23 Q It's something between what we've shown in  
24 the binders and a million?

25 A Well, if you want to bracket it to that

1 extent I think that's probably a safe bracket.

2 Q Won't the timing of AT&T's decision to enter  
3 the local market here in Florida have an impact on the  
4 number of operational experiences BellSouth can show  
5 in Florida?

6 A It may, possibly. There are, as I discussed  
7 in my summary, we're going through resale testing in  
8 Georgia. We're trying to interconnect with your  
9 existing customers in Georgia on your AT&T digital  
10 link. We're trying to ask for access to the unbundled  
11 network elements as we have here in the test case in  
12 Florida.

13 We're trying to enter a broad market. We  
14 have a broad set of customers today. That's what they  
15 are asking me and our team to put together for the  
16 infrastructure is a broad set of options that our  
17 market people can have, and that includes all three of  
18 those options. Certainly, when we enter the market in  
19 a broad fashion it is going to influence those  
20 numbers.

21 Q Thank you. You state on Line 20 and 21 that  
22 the Live Activity Summary showing those numbers of  
23 services and elements that have been provisioned by  
24 BellSouth is not an indication that the elements are  
25 actually being deployed -- that the elements are

1 actually being used by CLECs. Do you see that?

2 A Yes, I do.

3 Q What personal knowledge do you have that  
4 CLECs that have ordered UNEs from BellSouth are not  
5 using them?

6 A The only experience I have is, of course,  
7 with our AT&T test in Florida. And we've stopped  
8 testing on those four lines that we've installed for  
9 the simple fact that we can't get the details. If  
10 others are having the same difficulty we are, I would  
11 not think that they would continue to use something  
12 that is not available to them.

13 Q Is the answer to my question is you don't  
14 have any personal knowledge that particular CLECs that  
15 have ordered UNEs from BellSouth are not using them?

16 A Only to the extent of my knowledge of the  
17 AT&T test that we have.

18 Q Okay. Thank you. Turn to Page 13. Pages  
19 13 and 14 you discuss performance measurements between  
20 the parties that have been negotiated.

21 A That's right.

22 Q And those performance measurements have been  
23 incorporated in the interconnection agreement between  
24 the parties in Florida; isn't that right?

25 A Yes. My understanding is what -- Mr. Pfau,

1 of course, discussed this in much more detail -- the  
2 Attachment 12 was included in the Georgia agreement  
3 and my understanding is that also was applicable to  
4 the any other agreement we have, such as the one here  
5 in Florida.

6 Q And on Page 14 at Line 3 you state there  
7 that the Interconnection Agreement also obligates the  
8 parties to negotiate the next level of detail. I take  
9 it that's after the you have an initial target level  
10 of benchmarks?

11 A Well, you're saying a target. What I say in  
12 there is the next level of detail, and let me explain  
13 what that level of detail is.

14 Q Okay.

15 A For example, in our resale customers in  
16 Georgia, one of the things that those resale customers  
17 do is they use services that are built on a usage  
18 sensitive basis; things such as directory assistance;  
19 things such as Call Return, which is Star 69; they  
20 dial 511; they dial things that are charged on a usage  
21 sensitive basis by BellSouth. Details of those calls  
22 are put on a daily usage tape and they are sent to  
23 AT&T and other CLECs so we can use that detail to bill  
24 our customers for those charges.

25 There are some performance measurements in



1 there related to the accuracy of those details. Our  
2 experience to date with that is that there is not the  
3 accuracy that we would expect. I believe there's some  
4 numbers in there somewhere in the neighborhood of 98  
5 to 99% of the details need to be accurate and we're  
6 finding it's far less than that. That's the level of  
7 detail that we're going to need to be able to bill our  
8 customers. Our customers are not going to accept less  
9 than what they are already getting from BellSouth for  
10 their usage details.

11 Q That next level of detail is really what I  
12 wanted to focus in on. Because you go down to Line 5  
13 and 6 that say that the parties have agreed to meet no  
14 later than 90 days after actual performance to begin  
15 negotiating target levels for those items. Do you see  
16 that language?

17 A Yes, I do.

18 Q Now, you've testified that AT&T is not in  
19 the Florida market as of yet, so my question to you  
20 then is, at least with respect to the target  
21 performance levels in Florida, the parties won't be  
22 able to negotiate that next level of details until 90  
23 days after AT&T enters the Florida market; isn't that  
24 right?

25 A No, I don't believe that's so.

1           What we're asking to do with BellSouth is to  
2 enter all of the markets we can in the BellSouth  
3 states. And what we're negotiating, as I explained on  
4 the usage detail for the resale customers in Georgia,  
5 is exactly the detail we would need if we entered in  
6 resale in Florida. I would not expect us to have to,  
7 in every state, meet every time we enter a state and  
8 try to come up with a Florida-specific level of  
9 performance. I don't see that that would be  
10 necessary. Now Mr. Pfau may have some other ideas on  
11 that than I do, but that's not what I would expect.

12           Q     My question doesn't go to really the  
13 performance measurements themselves, what the parties  
14 have agreed to measure, but it's the target  
15 measurements in each state.

16                     Is it your testimony that the target  
17 measurements under the interconnection agreement in  
18 Florida would be the same under the interconnection  
19 agreement with BellSouth, say, in Georgia or in  
20 another state?

21           A     Well, from a technical standpoint of what  
22 I've described and I used the example of the usage  
23 sensitive daily usage file, I would expect us to have  
24 no other desire than to do exactly that for our  
25 customers of Florida that we're already doing for the

1 customers in Georgia.

2 Q Okay. So under your understanding of this  
3 interconnection agreement and how the parties are  
4 going to negotiate the next level of detail, then  
5 negotiations can begin 90 days after actual  
6 performance in the first state that AT&T actually  
7 provides service in?

8 A It may be.

9 Q Okay. Would that be Georgia?

10 A For our resale in the example I used that's  
11 in Georgia.

12 Q You're actually in the resale market in  
13 Georgia now?

14 A I don't know if you'd call it the resale  
15 market. I think we are providing some service to  
16 resale customers, residential customers, in Georgia; a  
17 very limited amount.

18 Q And where has that experience taken place?

19 A My understanding, and I'm not the expert on  
20 that, is that there are some customers in Atlanta,  
21 they are basically AT&T employees. There are some in  
22 Macon, I believe, and in Augusta, there are several  
23 communities that we have expanded that initial test  
24 to.

25 Q You're offering resold services to persons

1 other than AT&T customers now, aren't you? AT&T  
2 employees, I'm sorry.

3 A I believe so, because what I understand is  
4 that we actually filed a tariff offering in Georgia.  
5 Now, as to whether we're marketing it or not, I don't  
6 know.

7 Q Okay. Turn to Page 20 and 21 of your  
8 testimony. There you discuss BellSouth's collocation  
9 obligations under the Act?

10 A That's right.

11 Q AT&T hasn't asked to be collocated with  
12 BellSouth in any facilities in Florida, has it?

13 A I'm sorry. Would you ask that question  
14 again?

15 Q Sure. AT&T hasn't asked to be collocated  
16 with BellSouth in any facilities in Florida, has it,  
17 for local service?

18 A No, we have not.

19 Q Were you in the room Monday when Mr. Falvey  
20 testified?

21 A Yes, I was.

22 Q Do you recall Mr. Falvey testifying that  
23 ACSI was very close to completing a collocation  
24 arrangement with BellSouth in Jacksonville?

25 A I recall him discussing that. I don't know

1 the specifics of that.

2 Q Do you recall him testifying that ACSI had  
3 received what it had requested with respect to  
4 collocation with BellSouth in Jacksonville?

5 A I'm not sure I recall exactly what he said  
6 about that; another witness, I recall, saying that it  
7 was another case of after you get collocation -- I  
8 don't remember if it was Mr. Falvey -- it was really a  
9 question of after you get it, do you get what you  
10 asked for once you got collocation: Can you get the  
11 power feed? Can you get access to that without having  
12 to be escorted? Can you put equipment in there that  
13 we need to be able to provide service to our customer.  
14 I think those are the questions that really are coming  
15 to the point on the collocation.

16 My testimony there discusses those issues.  
17 That before we will ask for collocation at BellSouth  
18 we need to understand those arrangements and we need  
19 to have a process to ensure that we can get the answer  
20 to those questions. We're not going to ask for  
21 collocation not knowing what the answers will be  
22 before we go in. That's an expensive proposition to  
23 do.

24 Q So it's AT&T's position that regardless of  
25 the whatever experience BellSouth has had with other

1 CLECs with respect to collocation, that BellSouth  
2 hasn't met its collocation obligations under the Act  
3 until AT&T is physically collocated with BellSouth; is  
4 that right?

5 A Well, no, that's not right from my  
6 perspective.

7 I keep coming back to the issue of is it  
8 only AT&T's experience that will meet the checklist  
9 items? And I don't believe that's necessarily so.  
10 What I do believe is that because our interconnection  
11 agreement is a full, across the scope of all the  
12 14-point checklist, and we're going to enter the  
13 market in a very broad fashion, our experience is  
14 going to be very valuable to this Commission to  
15 demonstrate that BellSouth has not, in fact, met these  
16 checklist items.

17 Q So your testimony -- I'm sorry, didn't mean  
18 to cut you off.

19 A We're asking to do the full scope of what  
20 the Act calls for. And that includes getting access  
21 in collocated space for all of the things that we want  
22 to do for our customers, and not simply -- and I don't  
23 know what Mr. Falvey's intent was with that  
24 collocation; we don't know those details. He may very  
25 well have just elected to put a very limited amount of

1 collocation equipment in that particular space in  
2 Jacksonville.

3 Q Just to make sure I understand your  
4 testimony, you are saying that this Commission can  
5 look at BellSouth's experiences with respect to  
6 providing collocation arrangements with other CLECs in  
7 determining whether BellSouth has complied with that  
8 obligation?

9 A Certainly I believe this Commission has got  
10 to look across the scope of all of the CLECs. And the  
11 question they have to answer, of course, is, is it  
12 being provided in a nondiscriminatory and equal basis  
13 with that BellSouth provides itself?

14 Q Would your testimony there apply to any  
15 other checklist item as well with respect to BellSouth  
16 providing items under other checklist items, not just  
17 collocation?

18 A Certainly. Experiences of others will be a  
19 telling story here for this Commission.

20 Q Okay. Thank you.

21 Turn to Page 32, please, Mr. Hamman. Pages  
22 32 and 33 you talk about access of poles, ducts,  
23 conduits, and rights-of-way.

24 Again, I'm assuming since AT&T is not yet in  
25 the Florida market that AT&T has not yet requested

1 BellSouth to provide access to poles, ducts, conduits  
2 and rights-of-way; is that right?

3       A     Let me clarify your question. You said  
4 not -- AT&T has not requested access to poles, ducts  
5 conduits and rights-of-way. What we have done is  
6 we've requested that in our interconnection agreement.

7             We've requested for the details necessary  
8 for us to, when we do have a desire to use the poles,  
9 ducts, conduits and rights-of-way, that it be ready  
10 for us at that time; not in the months it takes for  
11 BellSouth to develop the methods and procedures.

12            You said requested. Yes, we have requested  
13 it. It's in our interconnection agreement. We  
14 believe that it's there, once we complete the work we  
15 have to do with them on this process --

16       Q     Okay. I'm sorry. My question really went  
17 to actually physically occupying and sharing with  
18 BellSouth particular poles, ducts, conduits and  
19 rights-of-way. I understand you've requested that  
20 general access to that item through your  
21 interconnection agreement. So have you actually asked  
22 to be physically in one of those items I just  
23 mentioned?

24       A     No. At this time we have not actually  
25 ordered a pole, duct, conduit or right-of-way at this



1 time, and we wouldn't without going through the  
2 process I talked about in my testimony. It's not  
3 there yet.

4 Q So what you talk about in your testimony is  
5 this Implementation Guide that the parties have agreed  
6 to --

7 A Yes, that's right.

8 Q -- enter into?

9 A Yes. It's in one of my late-filed exhibits  
10 that has the details of that process. And it seemed  
11 like to us that that would be a fairly reasonable  
12 thing to go through. But what we found was, they had  
13 not -- BellSouth -- did not have in place the forms  
14 that a CLEC would use to even ask for access to poles,  
15 ducts, conduits and rights-of-way.

16 Yes, they have -- cable companies are now  
17 using some poles now. But what we're asking for is  
18 access to our customers and that may be areas where  
19 BellSouth has not yet provided any of that access, its  
20 brand-new processes. So we need to know that when we  
21 have access to our customers that we can get that.

22 Q So is it your recommendation to this  
23 Commission that it wait until this Implementation  
24 Guide between BellSouth and AT&T has been tested and  
25 implemented before it can approve this checklist item?

1           A     Certainly it's one thing that this  
2 Commission can consider.

3           Q     But you're not telling the Commission it  
4 must wait until that particular guide is implemented  
5 before it can approve the checklist item?

6           A     Well, if the Commission could see the  
7 process of getting access to poles, ducts and conduits  
8 it's not a 1-2-3 step. It, in fact, is a very complex  
9 step and it requires a lot of interaction between the  
10 two companies. And what our folk are trying to do is  
11 with BellSouth determine that interaction so there is  
12 a start and there is a complete.

13          Q     Mr. Hamman, I didn't hear a yes or a no to  
14 that. I think it called for a yes or no.

15                     And the question was is it your  
16 recommendation to this Commission that it wait until  
17 this Implementation Guide between AT&T and BellSouth  
18 would be tested and implemented before it approved  
19 this checklist item?

20          A     No. But what I do ask this Commission to do  
21 is to look at the evidence and the evidence from what  
22 we show here and my testimony is that it's not  
23 complete yet.

24          Q     Okay. Turn to Page 46.

25          A     Okay.

1           Q     There you talk about assignment of telephone  
2 numbers. Has AT&T requested telephone numbers for use  
3 in Florida?

4           A     I don't know at this time that we actually  
5 have formally requested telephone numbers. I know we  
6 had formally requested telephone numbers in Georgia  
7 for switches there as we trial our interconnection  
8 with our AT&T digital link customers.

9           Q     You don't know whether AT&T has requested  
10 specific NXXs in Florida yet?

11          A     No, I do not.

12          Q     Would you accept, subject to check, that  
13 BellSouth has assigned 130 NXXs in Florida to other  
14 CLECs?

15          A     Certainly.

16          Q     What personal knowledge do you have,  
17 Mr. Hamman, that those NXXs were assigned in a  
18 discriminatory manner?

19          A     Well, in Florida I don't have any personal  
20 knowledge. In Georgia I have personal knowledge of  
21 our request.

22          Q     Okay. I'd really just like to focus on  
23 Florida for the moment.

24                     Let's talk about number portability,  
25 Mr. Hamman, on Pages 48 and 49.

1           A     Okay.

2           Q     BellSouth's statement offers direct inward  
3 dialing and remote call forwarding as two means of  
4 interim number portability; isn't that right?

5           A     That's right.

6           Q     And those two forms of interim number  
7 portability are specifically mentioned in checklist  
8 Item 13 in the Act; isn't that right?

9           A     Well, let's see if we can find that  
10 reference in the Act. Have you got that reference?

11          Q     I'll just read it to you. It's in checklist  
12 item -- actually it's checklist Item 11, I think I  
13 said 13. And it states "Until the date by which the  
14 Commission issues regulations pursuant to Section 251  
15 to require number portability, interim  
16 telecommunications number portability through remote  
17 call forwarding, direct inward dialing trunks or other  
18 comparable arrangements, with as little impairment of  
19 functioning, quality, reliability and convenience as  
20 possible. After that date, full compliance with such  
21 regulations." Does that refresh your memory as  
22 whether direct inward dialing and remote call  
23 forwarding are specifically mentioned there?

24          A     I believe I heard something more than just  
25 DID and RCF; I think I heard something called other

1 comparable means.

2 Q You may have. But my question is whether  
3 DID and RCF are specifically mentioned in that  
4 checklist as an acceptable method of interim number  
5 portability?

6 A The answer is yes to that, but it seems that  
7 you also left out the other comparable arrangements  
8 with this low impairment of functioning, quality,  
9 reliability and convenience as possible. That's what  
10 in my testimony I talk about in terms of route  
11 indexing the portability hub, which is the method that  
12 AT&T is asking to use for our larger business  
13 customers.

14 Q Do you know whether or not under BellSouth's  
15 statement a carrier that wants route indexing  
16 portability hub can request that through a bona fide  
17 request process?

18 A I'm not familiar with that part of the  
19 statement, if you're -- if you put that in there or  
20 not. What I know is we have ordered it in Georgia.  
21 We have yet to get it.

22 Q Now, one of issues in this proceeding,  
23 Mr. Hamman, is whether the Commission should approve  
24 BellSouth's statement; isn't that right?

25 A You know, I missed the arguments Monday

1 morning as to whether or not the statement was part of  
2 this proceeding or not. I think what I said in my  
3 summary was that the purpose of this hearing was to  
4 determine whether or not BellSouth met the checklist  
5 items.

6 Q Okay. Let me turn back to Page 4 of your  
7 testimony. Are you there?

8 A All right.

9 Q Let me read you Line 23, "The purpose of  
10 this hearing is to determine whether or not BellSouth  
11 has demonstrated that its SGAT complies with Sections  
12 251 and 252(d) of the Act, and whether BellSouth  
13 complies with the 14-point checklist." So would you  
14 agree that one of the issues in this proceeding is  
15 whether the Commission should approve BellSouth's  
16 statement?

17 A I'll leave that to our lawyers as to whether  
18 that is the purpose of the hearing or not. I put it  
19 in my testimony at the time and that was certainly  
20 what -- this is dated July 17th. At that time that's  
21 what we understood BellSouth was asking for.

22 Q As of the date you filed your testimony you  
23 indicated that that was one of the purposes of this  
24 hearing; isn't that what your testimony says?

25 A That's what my testimony says.

1           **Q**     Okay.  Is AT&T going to be ordering  
2 unbundled network elements and services from  
3 BellSouth's statement or will it do so through its  
4 interconnection agreement with BellSouth?

5           **A**     Well, the answer to the first part of the  
6 question was no, we would not use the statement  
7 because the answer to the second part is yes, we will  
8 use our interconnection agreement.

9           **Q**     Thank you.  Mr. Hamman.

10           **MR. RANKIN:**  That's all I have.

11           **CHAIRMAN JOHNSON:**  Staff.

12           **MS. CULPEPPER:**  Chairman Johnson, I'd like  
13 to first ask that Staff's exhibits be marked at this  
14 time.

15                     Staff asks that exhibit JMH-3, which is  
16 Mr. Hamman's deposition transcript, late-filed  
17 deposition exhibits and errata sheet be marked, I  
18 believe the next exhibit is 94.

19                     (Exhibit 94 marked for identification.)

20           **CHAIRMAN JOHNSON:**  It will be marked as 94.

21           **MS. CULPEPPER:**  We ask that exhibit JMH-4,  
22 which are AT&T's Responses to Staff's Interrogatories  
23 be marked as Exhibit 95.

24           **CHAIRMAN JOHNSON:**  It will be marked as 95.

25                     (Exhibit 95 marked for identification.)

1           **MS. CULPEPPER:** Ask that exhibit JMG-5 --  
2 actually it should be JMH-5, which is AT&T's Responses  
3 to BellSouth's Second Set of Interrogatories, 11  
4 through 14, be marked as Exhibit 96.

5           **CHAIRMAN JOHNSON:** It will be marked as 96.  
6           (Exhibit 96 marked for identification.)

7           **MS. CULPEPPER:** Thank you.

8                           **CROSS EXAMINATION**

9   **BY MS. CULPEPPER:**

10           **Q**     Good morning, Mr. Hamman.

11           **A**     Good morning.

12           **Q**     I'll begin by directing your attention to  
13 your deposition transcript, to Page 101. There you  
14 indicated that AT&T needs call usage details in order  
15 to bill for such things as directory assistance. So  
16 just to clarify, is AT&T currently reselling  
17 BellSouth's directory assistance services in Florida?

18           **A**     No, we are not. What I was referring to  
19 there would have been our directory assistance usage  
20 related to our resale customers in Georgia.

21           **Q**     Now, Mr. Scheye has testified in this  
22 proceeding that BellSouth can provide selective  
23 routing. Do you agree with that statement?

24           **A**     No, I do not agree with it. They cannot  
25 provide it at this time. We've requested it and we've



1 gone through a lot of work with them to have it be  
2 available. We do not have it available to us in  
3 Georgia. Until we have it available, we're not  
4 willing to enter any market. And I'll give you an  
5 example.

6           Those customers that we have in Georgia who  
7 are already on our resale -- already are our resale  
8 customers, when they dial 411 for directory assistance  
9 they are reaching the BellSouth operator who says,  
10 "BellSouth." That's BellSouth brand. That's not what  
11 the Act calls for. What we want them to do is be able  
12 to use our directory assistance operators and reach an  
13 AT&T directory assistance operator.

14           So those customers we now have, and there  
15 are several thousand that are on the resale platform  
16 in Georgia, have no option other than to listen to the  
17 BellSouth directory assistance to get to their  
18 directory assistance operators. We need those  
19 customers to use selective routing to get to ours.

20           Q     Do you have any documentation that supports  
21 your belief that they cannot provide selective  
22 routing? Any letters or responses?

23           A     Well, yes, I do. In my Late-filed Exhibit 5  
24 there's a letter from Mr. Carroll, I believe, and  
25 addressed it to BellSouth. The most current letter

1 addresses that. It is not available. Let me see if I  
2 can get the date of the letter. It's on August 29th;  
3 letter from, I believe it's Jim Carroll to Dwayne  
4 Ackerman, President and Chief Executive Officer of  
5 BellSouth Corp. And it addresses -- I'm sorry, that's  
6 the unbundled network elements. Let me get to the  
7 issue of selective routing.

8 Q Do you know if there is any documentation?

9 A Yes, there is. I'm sorry, I went to the  
10 wrong issue.

11 I don't have a paper copy here with me, but  
12 we have a meeting each week between our team that's  
13 working the selective routing issues and BellSouth's  
14 team that's working the selective routing issues.  
15 They meet every Monday. And they keep track of the  
16 issues we're working through and the status of the  
17 completion of those issues. And as of this Monday's  
18 session, the issue of providing selective routing  
19 still is not complete yet.

20 We have asked, in relationship to Florida,  
21 because they have said that AIN or another advanced  
22 intelligent network, or long term means to be  
23 available; we asked if not that might be what we use  
24 in Florida versus line class code issue which we still  
25 don't have in Georgia.

1           So, yes the documentation is in those  
2 minutes of those meetings and those are shared with  
3 BellSouth.

4           **MS. CULPEPPER:** We'd like to ask for that  
5 documentation as late-filed exhibit.  
6 Chairman Johnson, I'd ask that it be marked.

7           **CHAIRMAN JOHNSON:** And the name again?

8           **MS. CULPEPPER:** Documentation Regarding  
9 BellSouth's Inability to Provision Selective Routing.

10          **CHAIRMAN JOHNSON:** Okay. It will be so  
11 marked.

12          **CHAIRMAN JOHNSON:** 97.

13          **MR. HATCH:** 97.

14                 (Exhibit 97 marked for identification.)

15          **Q**        **(By Ms. Culpepper)** Now, Mr. Hamman, I hope  
16 you'll forgive me for jumping around, but I direct  
17 your attention to AT&T's Responses to Staff's  
18 Interrogatories Nos. 82 and 86.

19          **A**        Okay. I have No. 82.

20          **Q**        And I believe you also make statements  
21 regarding this subject in your deposition at Pages 35  
22 and 133 of the transcript.

23                 And what you discussed here regards concept  
24 testing, in which AT&T requested four individual test  
25 orders for UNE combinations consisting of NID, looped

1 test locations, local switching, tandem switching, and  
2 local transport signaling elements and operator system  
3 elements.

4 A That's right.

5 Q Was AT&T able to gain access to the  
6 associated signaling necessary for call routing and  
7 completion?

8 A I'm sorry. I didn't hear the last part of  
9 that.

10 Q Was AT&T able to gain access to the  
11 associated signaling necessary for call routing and  
12 completion?

13 A By virtue of the fact that we were able to  
14 complete some test calls, it would suggest that the  
15 calls were routed, but I believe what the Act calls  
16 for is that you also be able to receive the details of  
17 that routing related to the usage of the signaling  
18 elements. So we have not yet, as I talk about in my  
19 testimony, got any of that is details yet to know can  
20 we, in fact, use those details to either bill our  
21 customers, determine what our costs are, or bill where  
22 which have rights for access. So we've got it appears  
23 to be the ability to complete a call and that's  
24 because we used all of it together just as BellSouth  
25 does.

1           Q     So you're saying that AT&T is not satisfied  
2 with the access to BellSouth's signaling necessary for  
3 call routing and completion?

4           A     Well, we certainly just don't know because  
5 we have no other details. That's certainly -- in my  
6 mind we're not satisfied without the details to know  
7 whether, in fact, we have access to unbundled network  
8 elements.

9           Q     But you can get to the database that is  
10 necessary; is that correct?

11          A     Well, not from -- BellSouth may be able to  
12 get to those details but we're not able to. That was  
13 the purpose of the test was to actually use various  
14 capabilities of the network; not just the local switch  
15 but also the tandem and the transport elements. And  
16 there's additional testing we would have done to test  
17 to see whether, in fact, our customers could reach,  
18 say, a caller name database which provides you with a  
19 caller name. There are various databases that we  
20 would have asked to continue on. We did not do any of  
21 those call tests at all.

22          Q     But I thought you said that you had been  
23 able to complete some test calls?

24          A     The limited amount of test calls we did that  
25 would have enabled the routing of the calls to

1 complete, yes. But there is another set of call  
2 scenarios that would involve other uses of the routing  
3 and the databases that we were not able to complete  
4 because we simply didn't have the details yet from the  
5 first set; why go to another second set?

6 Q Now I refer you again to your deposition  
7 transcript, to Page 170. And I'm looking at Lines 14  
8 and 15. There you stated that AT&T does not know how  
9 soon it can get route indexing portability hub in  
10 Florida; is that correct?

11 A That's correct. I think before that I said  
12 we don't expect to have it in Georgia until September  
13 so I don't know when we would expect it in Florida.

14 Q So has AT&T actually requested it in  
15 Florida?

16 A No, we would not yet until we know the  
17 results of any testing we did with BellSouth on  
18 route indexing; the number portability means that we  
19 were going to use for our AT&T digital link customers  
20 we would not ask for it in Florida until we know the  
21 results of the testing in Georgia. It's the same  
22 process that BellSouth uses in all nine states.

23 Q On that same page, Lines 16 through 20, you  
24 state that BellSouth has made paper promises to offer  
25 RCF and DID as interim number portability means; is

1 that correct?

2 A That's correct.

3 Q And has AT&T actually requested these  
4 services in Florida?

5 A No, we have not. At this point in time  
6 we're not offering a service in Florida that would  
7 require number portability. My reference there is  
8 to -- in fact, in my role in the negotiations, I  
9 negotiated that number portability section of our  
10 agreement with BellSouth and we tried to get to some  
11 of the details, about how would you provide RCF and  
12 DID, including the call details, because the path of a  
13 call going to a number that's been ported to another  
14 switch takes a different route. And it requires  
15 additional details to be able to determine the proper  
16 billing for those calls.

17 At that time when we negotiated our  
18 agreement BellSouth did not have those details. I  
19 don't know, based on the 86 binders, that they have  
20 those details today. And that's where my statement  
21 comes there are still paper promises. I don't know if  
22 the people who are using RCF in Florida are, in fact,  
23 getting the details they need to know if they are  
24 being billed correctly by BellSouth for the usage on  
25 those remote call forwarding numbers.

1           Q     This is just to clarify something I believe  
2 you may have addressed earlier. Has AT&T requested a  
3 NXX code from BellSouth in Florida?

4           A     If I understand from, subject to check, that  
5 Mr. Rankin asked me, it appears we've asked for --  
6 well, no, I guess, he's just said the CLECs have asked  
7 for 130. I don't know that AT&T has yet in Florida.

8           Q     Now I'd like to discuss about the PLU factor  
9 and two-way trunking.

10                     We've already discussed the fact AT&T did a  
11 concept test in Florida. And going back in your  
12 deposition transcript to Page 35, you indicate that  
13 AT&T was ready to order interconnection trunks, or  
14 have the interconnection trunks it already had with  
15 BellSouth conditioned to carry local traffic. So has  
16 AT&T actually ordered interconnection with BellSouth  
17 in Florida?

18           A     No, not for the purposes of local traffic at  
19 this time. We're still working through our issues  
20 with them on the local interconnection in Georgia.  
21 And we're working with them on a project plan which  
22 will get us to some of those details. It's not  
23 completed yet in Georgia. There's just a whole series  
24 of things that has to happen before you interconnect  
25 with BellSouth and we're not at that stage yet in



1 completing it in Georgia, so we're just not going to  
2 do that in Florida until we know the results of that.

3 Q So if AT&T is able to work things out with  
4 BellSouth in Georgia, does that mean then that AT&T  
5 will commence ordering in Florida?

6 A Well, I would certainly -- what our  
7 marketing folks are asking us in the technical team is  
8 to put in place a broad infrastructure that supports  
9 all three options: resale, unbundled network elements  
10 and interconnection.

11 What BellSouth has told us is their  
12 processes are the same across nine states. So when we  
13 put in place this broad infrastructure, that will tell  
14 our people who are making those kinds of decisions  
15 that, in fact, they can go to market. And that would  
16 certainly, in my view, be -- the Florida market  
17 appears to be a very huge market. We already have a  
18 broad base of existing customers in Florida, and we're  
19 certainly trying to put in place this infrastructure  
20 that would support that kind of marketing effort.

21 Q Looking now at your deposition transcript,  
22 Page 38. There you discuss some problems in your  
23 concept test, one of which was the development of an  
24 usage factor so that you could carry and bill local  
25 traffic over your existing toll trunks; is that

1 correct?

2           A     That's correct.

3           Q     And you stated "We're still in the process  
4 of finally coming to agreement on the use of that  
5 factor and getting it implemented in Georgia."

6                     Have AT&T and BellSouth made any progress  
7 towards implementing a PLU factor in Georgia since  
8 your deposition?

9           A     Yes, we have. Since my deposition we have  
10 provided BellSouth with our understanding of what that  
11 factor would be, and we also gave them two  
12 methodologies that we would like to use and ask them  
13 to tell us which one would they be able to implement.  
14 We have not received that response yet.

15                     We also have to work through additional  
16 details of that implementation to know that when they  
17 apply that factor it will, in fact, show up on the  
18 billing correctly. So it's kind of going through the  
19 say four steps: the methods procedures, some testing,  
20 operational experience, and then the performance  
21 measurements. We're at the stage where we're at the  
22 point now where we're ready to begin testing for that  
23 local usage on those interconnection trunks. Will the  
24 PLU, percent local usage factor, be applied  
25 appropriately in those cases it needs to be applied.

1 We'd like to have done right the first time, not after  
2 after the fact get corrected and customers have  
3 disappointment in that. We would expect to complete  
4 that sometime in October in Georgia. (Pause)

5 Q So is it true that BellSouth stated they  
6 would have to develop an interim billing measurement  
7 in order to be able to bill you, to bill AT&T?

8 A I'm sorry. Is that related to the local  
9 switching? Is that -- give me a reference on that.

10 Q Let me back up a little bit and maybe this  
11 will help clarify.

12 At your deposition you discuss BellSouth's  
13 requirement that you submit a bone fide request and go  
14 through that process in order to develop a PLU factor.

15 A Oh.

16 Q You state "BellSouth thought this was  
17 necessary because it would not have the billing  
18 capability to apply that factor until later this  
19 year." Is that correct?

20 A That's correct. What they asked us to do  
21 was to give them a bone fide request process, or the  
22 details they would need to be able to charge us for  
23 billing us using the percent local usage factor. We  
24 did not believe that was necessary. We believe we had  
25 already in our interconnection agreement the details

1 necessary for us to use a percent local usage factor.

2 Through numerous amounts of discussion and  
3 work with BellSouth, that bone fide request process  
4 was dropped and we now have an agreement that allows  
5 us to use a percent local usage factor on those  
6 interconnection trunks we already have.

7 Q So then is it true that BellSouth stated  
8 that it would have to develop an interim billing  
9 measurement in order to be able to bill you?

10 A It appears that we have developed the  
11 interim ability to do that. We have yet to see it  
12 until we actually test it with our local calls in  
13 Georgia.

14 Q Looking now at Page 60 of your deposition  
15 transcript.

16 A I'm sorry, what page was it?

17 Q 60. You indicated that BellSouth has  
18 refused to utilize AT&T's two-way trunks, but instead  
19 would prefer to utilize its own one-way trunks,  
20 presumably for its own originating traffic to be  
21 terminated on AT&T's network; is that correct?

22 A That is our understanding of what BellSouth  
23 has proposed, at least initially, that rather than  
24 sending their traffic -- their customers to our  
25 network over the existing two-way trunk, which would

1 be conditioned to handle two-way traffic, they believe  
2 it's important to set up a separate facility they  
3 would purchase from us for their traffic. And their  
4 rationale for that was that they believe they were  
5 better in control of forecasting the usage on that  
6 trunk than we would be jointly to plan a two-way  
7 trunk.

8           It's interesting, as I hear the other  
9 witnesses' testimony about blocking on the network,  
10 some of the numbers -- and I did not see the numbers  
11 that were provided for blocking -- if that's, in fact,  
12 what they were doing with others, it appears to me  
13 that they have not worked out jointly how to  
14 interconnect their networks and make it work  
15 efficiently, and also provide the customer service  
16 that their customers are experiencing on their  
17 network.

18           So that was where we thought it was  
19 important to jointly work through. We provide them a  
20 forecast of how many customers from our network will be  
21 completing calls to theirs; they provide us a forecast  
22 of how many theirs would complete to ours. Then we'd  
23 come to those numbers of estimated trunks that  
24 Mr. Stacy talked about. And we jointly monitor that  
25 rather than having BellSouth doing the monitoring.

1           So without us having the ability to control  
2 this traffic into our network, we're kind of at a loss  
3 then to jointly manage both customers' accesses to  
4 each other's network.

5           Q     Well, in Mr. Scheye's deposition, transcript  
6 Pages 117 and 118, he indicated that two-way trunking  
7 is inefficient and would not be used by large carriers  
8 such as AT&T. Do you agree with that statement?

9           A     No, I do not agree with that statement.

10           What I would agree with would be that it's  
11 up to each of us to jointly or individually engineer  
12 our network to meet our particular needs.

13           His statement is very one-sided saying "I  
14 could care less what the CLECs decide is more  
15 efficient, I, from BellSouth, say it's more  
16 efficient." And we argued this extensively in the  
17 negotiations and heard their engineers agree with us  
18 that, in fact, given what we were trying to do in a  
19 limited entry into market, two-way trunking would be  
20 one of their choices also. So I would not agree with  
21 Mr. Scheye's statement at all.

22           Q     Well, can you explain a little bit more why  
23 two-way trunking is more efficient for AT&T?

24           A     Well, certainly.

25           If you think about two islands, two network

1 islands wanting to talk to each other, customers on  
2 one island wanting to talk to customers on the other  
3 island.

4           The way those switches talk to each other  
5 are in what we call trunk groups. They are DS-1's.  
6 There's 24 pathways between them. They don't talk in  
7 individual single trunks. Switches just talk in trunk  
8 groups. So we have these big pipes set up between the  
9 two networks.

10           If you only start off with a couple of  
11 hundred customers, you're not going to need all 24 of  
12 those -- you know, that big pipe to carry all of that  
13 traffic. So that means you have excess capacity that  
14 you could actually use for BellSouth's customers, if  
15 there's maybe a couple hundred of those, trying to get  
16 to your island.

17           So it's a matter of the capacity that you  
18 build in these trunk groups versus the offered calls  
19 from both networks. Certainly if you have a large  
20 volume of customers going from one island always to  
21 the mainland and you don't have any return traffic,  
22 then certainly you would probably not provision that  
23 as two-way trunk; you would probably provision it as  
24 one-way, much like you do for roads out here. One-way  
25 traffic carries a larger volume than two-way

1 sometimes.

2           So it's an engineering decision and it's one  
3 that we believe is a joint decision just as they do --  
4 BellSouth does today with independent companies'  
5 networks, it's a partnership; a very important  
6 partnership between us and BellSouth just as they do  
7 today with independent companies. It's certainly not  
8 the one way that here Mr. Scheye say that's the most  
9 efficient.

10           Q     So is the issue regarding the PLU factor and  
11 your discussions with BellSouth regarding the two-way  
12 trunks, are these two issues the only causes for delay  
13 in utilizing your existing toll trunks to haul local  
14 traffic?

15           A     No, they are not. It's the beginning of  
16 that process that we have started, and that's the  
17 first stage in order for us to complete just the local  
18 calls from our existing customers on to BellSouth's  
19 network, we needed the ability to do that. Some of  
20 those customers already were using those existing  
21 trunks to complete local calls, kind of like a casual  
22 use basis, today but we're being billed the access  
23 rates. So we certainly want to provide them that  
24 capability today. That was the beginning of this  
25 process to offer our existing customers.



1           There are more we need to do and one of  
2 those is -- in fact, we talked about in my  
3 testimony -- is for those customers to be able to take  
4 the existing numbers they have with BellSouth and move  
5 them to our switches in Georgia. We need local number  
6 portability to do that, and that relates to the route  
7 indexing portability hub capability that we were  
8 asking for. We need that to be able to have those  
9 customers transfer numbers they have today into the  
10 AT&T network and be able to complete those calls.

11           So it's a series of things we will need as  
12 we go through the implementation of the existing  
13 customers. And the PLU factor was just the beginning.  
14 We thought that would be relatively simple and  
15 something we could get under our belt and get  
16 underway. It's simply taking a long time for that  
17 issue to get resolved.

18           Q     Why hasn't AT&T simply tried to negotiate an  
19 interim PLU factor similar to the way that preliminary  
20 factors are used in lieu of actual usage measuring  
21 where measurement capabilities do not yet exist?

22           A     The dispute was not on the factor itself, it  
23 was how would it be applied to the calls, and how  
24 would we see that percentage applied on the billing.  
25 It was really the mechanism, whether the factor was

1 90% or 10% was not ever at issue. It was -- what was  
2 the issue was when we give you that factor -- actually  
3 they had an issue of could BellSouth validate internal  
4 AT&T records to indicate, in fact, that our number was  
5 right -- and we put that asside. But once we give  
6 BellSouth a number, will they be able to use it to  
7 provide the proper billing to us? That's where the  
8 issue was. They said they did not have a process to  
9 take that factor and use it in their billing  
10 mechanisms. They asked us to pay them, I think  
11 80-some thousand dollars to develop that capability.  
12 We thought that was not appropriate.

13 Q I'll direct your attention now to Page 119  
14 of Mr. Scheye's deposition transcript.

15 A I don't believe I have his transcript with  
16 me here.

17 Q I don't think that will be necessary. I  
18 think we can move on. Thank you though. (Hands  
19 document to witness.)

20 A Okay, I have it.

21 Q Mr. Hamman, I don't think that will be  
22 necessary. I think we're just going to move on.

23 I'd like to discuss collocation now for a  
24 moment.

25 Looking at Page 70 of your own deposition

1 transcript, you noted there that AT&T has not  
2 requested collocation with BellSouth in Florida for  
3 local traffic. But AT&T already had several toll  
4 collocation arrangements; is that correct?

5       A     That's correct. We are interconnected with  
6 BellSouth for our toll network in many of their  
7 offices, either ourselves or what we call CAPs or  
8 competitive access providers.

9       Q     Was there any difference, technical or  
10 otherwise, between a collocation for toll and one  
11 that's for local usage?

12       A     Certainly there's a lot of differences, yes.  
13 The fact that we're actually in there building may  
14 look the same, and at divestiture in many cases we  
15 literally cut the buildings in half and we move  
16 equipment from their side to our side, and moved  
17 equipment from their side to our side -- or to their  
18 side, and literally cut the buildings in half and did  
19 not have to have any -- the word "collocation", I  
20 think we had another term for it at divestiture.

21            Many times, though, we have not been able to  
22 split buildings in half. We have joint occupancy and  
23 there's a way to handle that. What is different is  
24 the types of services we bring into that is collocated  
25 spaces are for the purposes of long distance traffic

1 and so they are very narrowly focused towards certain  
2 areas of BellSouth's offices. They are necessary to  
3 interconnect basically trunk groups or transport.  
4 They are not necessarily connected up to be able to  
5 access the loops or the local switches or the  
6 signaling network.

7           And many times in the BellSouth's buildings  
8 you'll find the main frame that you talk about where  
9 the loops are on a certain floor and our collocate  
10 space for long distance is fifth or sixth floor.

11           What collocation for local means is we need  
12 to have access to all of these unbundled network  
13 elements to be able to provide service to our  
14 customers. And it's that access that for local we  
15 need that is not there yet for long distance.

16           They are going to have to put in place the  
17 processes, those method procedures; they're going to  
18 put in place we call them tie cables or tie pairs or  
19 jumpers; very simply you could say extension cords.  
20 Extension cords that are going to connect these things  
21 to our networks and connect them together.

22           Those are serious amounts of work required  
23 between both parties to determine what are these  
24 extension cords? What are they going to look like?  
25 How are we going to assign them? How are we going to

1 make them work for access to these unbundled network  
2 elements? That's different than what we have had in  
3 the past on the long distance side.

4 Q In your opinion how long do you think it  
5 should take typically to set up a collocation  
6 arrangement for local usage?

7 A To do it right a collocated space  
8 requires -- the first critical element, because most  
9 all of the equipment we or others will be putting in  
10 collocated space requires electronic power. It's not  
11 just a 110 volt power; it's very specialized power  
12 from the power plant that BellSouth has in their  
13 building. That requires specialized engineering, it  
14 requires that it be properly sized for the amount of  
15 the equipment. So it requires a planning process.

16 So the words that I think I heard Mr. Scheye  
17 and others say here was three months to maybe I think  
18 I heard him say even up to six months is not  
19 unrealistic if you do your planning properly, and you  
20 know the size and market you're going to go into and  
21 the types of equipment you'll need there, you can do  
22 that planning process. You can specify the types of  
23 power, the size of the room, the kinds of bays you'll  
24 need to be able to put your equipment in. And those  
25 will take two to three months to arrange.

1           Once you have those in place, though, very  
2 quickly you can add the types of equipment that will  
3 actually get you in service with customers. But it's  
4 the first inertia, first part of that that does take  
5 the three months.

6           Q     Mr. Hamman, in your opinion what stage in  
7 the development of the collocation process,  
8 collocation arrangements, would BellSouth have to be  
9 in to actually meet the checklist, met that checklist  
10 item?

11          A     I guess in my opinion a company would not go  
12 into a collocated arrangement with BellSouth unless  
13 they planned on providing a significant amount of  
14 service to customers. And a minor arrangement such as  
15 just an existing trunk group to their switch does not  
16 by itself give up what we're asking for, which is  
17 access to all of these unbundled network elements.

18                So I would look for certainly -- have they  
19 put in place the extension cords or those things  
20 necessary to have access to each of these elements;  
21 not just transport, not just loops, not just switches  
22 but everything on this board, have they got those  
23 things in place?

24                They are different. There are different  
25 kinds of extension cords required to connect these

1 elements up. Some of them are what we call voice  
2 frequency or voice level wires and some of them are  
3 high capacity ones. They are not the same.

4           So I would look for, in my opinion, is the  
5 collocated space that whoever the CLEC is, have they  
6 put in place the broad range that's necessary for all  
7 of these access to the unbundled network elements?  
8 And are they effectively being placed in a service  
9 with customers, and is the performance measurements  
10 that -- whatever the performance measurements are that  
11 are put in place, do they reflect that, in fact, they  
12 are being provided in a nondiscriminatory basis? It  
13 may be somewhat of a qualitative judgment than it is  
14 quantities.

15           Q     Okay. Now AT&T has ordered UNES from  
16 BellSouth; is that correct?

17           A     Yes, that's correct. In Florida we ordered  
18 the four employee lines as a test case, the concept  
19 test.

20           Q     So it's only on a test basis?

21           A     Only on a test basis; that is correct.

22           Q     I'd like to refer your attention now to  
23 Exhibit 21, which was Mr. Scheye's Late-filed  
24 Deposition Exhibit 13. And I believe I handed you a  
25 redacted copy on Friday.

1           A     I have a Late-filed Exhibit 13.

2           Q     Yes.

3           A     Is that the one? Yes, I do.

4           Q     And I'll note here that counsel for AT&T has  
5 stated that AT&T does not consider this information  
6 confidential. Mr. Hamman, has AT&T, in fact, ordered  
7 five unbundled ports from BellSouth?

8           A     No. To my understanding we have ordered  
9 only four of the test cases with our AT&T employees.  
10 I'm not familiar with anything other than the four.

11          Q     And using the ports ordered from BellSouth,  
12 is AT&T currently providing end-to-end local exchange  
13 service on a test basis?

14          A     Yes. Well, yes, and the fact, that those  
15 four are -- in fact have dial tone and our employees  
16 can, in fact, make a call and receive calls. I'm not  
17 sure -- and maybe Mr. Bradbury or others, he could  
18 answer the question on are they, in fact, listed in  
19 the white pages; are they, in fact, able to do other  
20 things that includes the total local exchange  
21 business. Because of the fact that we ordered those  
22 through a very manual process, I'm not sure without  
23 any of the details we have that we have -- why would  
24 you consider total local exchange service? Simply it  
25 was a test basis. The fact that they did not have in



1 place the electronic data interface it would have  
2 allowed us to order in the right fashion, we had to go  
3 through in manual fax process. So I don't know that  
4 they hit all of the right places for total local  
5 exchange service.

6 Q So is AT&T using any of its own facilities  
7 to provide service on this test basis?

8 A Not in Florida at this time, certainly not.

9 Q Okay. Other than the ports that are listed  
10 in the exhibit, what UNEs has AT&T ordered from  
11 BellSouth in order to provision this end-to-end  
12 service?

13 A What we asked for in our concept test was  
14 that all of the elements be provided: network  
15 interface device, the loop, the port, access to  
16 operator services, the signaling and data basis and  
17 the transport. That's all the 12 elements that you  
18 see on the chart. Those -- that was the total service  
19 that we asked for. Specifically what we asked for in  
20 the test was to be able to use that as a test bed to  
21 determine can, in fact, those elements that have usage  
22 sensitive billing, in fact, be billed, and can the  
23 specific precise details of those calls be provided to  
24 us so that if we were to order just the switch or just  
25 to order the transport, would we get what we requested

1 in our interconnection agreement?

2 Q Did BellSouth provide those elements?

3 A Well, it's hard to tell because the bills  
4 that we have are very confusing. They don't reflect  
5 what we would have expected, so it's hard for us to  
6 tell exactly what was provided.

7 We know that our employees have dial tone at  
8 their home. They can establish a call. They can  
9 receive a call. But we don't know if we have the rest  
10 of the details we need.

11 Q No. Other than for the test basis that  
12 we've already discussed, AT&T is not providing local  
13 exchange service to business or residential customers  
14 in Florida through the use of its own facilities or  
15 UNES purchased from BellSouth correct?

16 A That's correct.

17 MS. CULPEPPER: Thank you, Mr. Hamman.  
18 Those are all the questions Staff has.

19 MR. RANKIN: Chairman Johnson, may I make a  
20 request here related to the Late-filed Exhibit 97 that  
21 Staff asked Mr. Hamman to produce?

22 CHAIRMAN JOHNSON: I'm sorry, I couldn't  
23 hear you. Could you do what?

24 MR. RANKIN: There's a Late-filed Exhibit 97  
25 that Staff asked Mr. Hamman to produce, and I believe

1 he said those were going to be minutes of a joint  
2 meeting with BellSouth concerning the issue of  
3 selective routing.

4 BellSouth routinely keeps its own sets of  
5 minutes for those types of joint meetings and we'd ask  
6 that we be allowed to provide BellSouth's minutes of  
7 that same meeting as a late-filed exhibit.

8 CHAIRMAN JOHNSON: Is that a document you  
9 want? Let me mark it Exhibit 98, and short title,  
10 BellSouth's --

11 MS. CULPEPPER: Madam Chairman, I'm sorry.  
12 Could that be included in the same exhibit?

13 MR. HATCH: Not if they are being filed by  
14 two separate parties.

15 CHAIRMAN JOHNSON: BellSouth's -- what did  
16 you say it was, a memo, memorandum, sir?

17 MR. RANKIN: Minutes.

18 CHAIRMAN JOHNSON: "Minutes of the Meeting  
19 Concerning Selective Routing."

20 MR. RANKIN: That's good. Thank you.

21 (Late-Filed Exhibit 98 identified.)

22 CHAIRMAN JOHNSON: Commissioners, any  
23 questions? Redirect?

24 MR. HATCH: Yes, ma'am I have a few.

25

## REDIRECT EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. HATCH:

Q Mr. Hamman, do you recall I believe it was Monday night, Mr. Rankin asking you about wireless loops?

A Yes, I recall that.

Q Have wireless loops been tested sufficient to determine whether they are commercially viable for deployment?

A Certainly not with AT&T and I don't know anywhere else that they have been -- well, let me back up.

Given the technology of wireless loops and the engineering or economic decision on where you would deploy that, where we already have existing copper that doesn't make a lot of sense. Where you have a developing third country or maybe a developing country where you have absolutely no access to copper, there are, in fact, wireless loops in place in third world countries, because there is no other options.

I've not seen or know to what extent those are in place other than I know that's a viable means in third countries that have no loops available. Certainly not from our standpoint is it an option that we've looked at as a technology solution at this time.

1           Q     I believe Mr. Rankin asked you about access  
2 to poles, ducts and conduits. Do you recall that  
3 series of questions?

4           A     Yes, I do.

5           Q     In the absence of methods and procedures,  
6 what process would you expect BellSouth to require you  
7 to follow in order to obtain such access?

8           A     Well, what we have found out is absent  
9 methods and procedures the first thing they say is  
10 "John," or your teams, "fill out a bona fide request  
11 process; a BFR." And we have had experience with that  
12 and we know that experience is not good.

13                     We asked simply on the selective routing to  
14 be able to join test with BellSouth; that we be able  
15 to be physically in their central office at the time  
16 we do the testing because there were some things we  
17 were wanting to do to talk to our operators at the  
18 other end. They asked us for a bona fide request  
19 process to just be physically in their central office.  
20 And not only that, they asked us to pay \$1300 for that  
21 month's use of that one table. So that's exactly why  
22 we're trying to go through these methods and  
23 procedures; get firm completed agreements on what we  
24 can expect to do when we get collocated space.

25           Q     I believe Mr. Rankin asked you about whether

1 BellSouth had awarded, or AT&T had requested, NXXs in  
2 Florida; is that correct?

3           A     That's correct.

4           Q     What is your experience with AT&T's NXX  
5 requests in Georgia?

6           A     Our experience in Georgia for our two long  
7 distance switches in the Atlanta area is we were only  
8 able to receive about eight of the NXXs that we  
9 required. Because of the different rate areas we  
10 really require in Georgia about 35 or 40 of the NXXs.  
11 But because of the exhaust situation with the 770 area  
12 code in Atlanta, we were only able to obtain five of  
13 these area codes.

14                     What that means to us is that until that  
15 jeopardy is resolved, and it won't be resolved until  
16 January of '98, I believe it is, for the 770 area  
17 code, we won't be able to extend our marketing into  
18 some of the rate areas that BellSouth is. They've got  
19 a warehouse of numbers and we don't. And until  
20 January, when we get the relief that we need for the  
21 770 area code, we're going to be somewhat restricted  
22 from going into rate areas that BellSouth can.

23                     That would be a similar situation if we were  
24 to go into the 305 area code, I understand, here in  
25 Florida. There's a possibility of having to go

1 through either an area code split or some kind of  
2 ability to get access to those numbers.

3 Q Do you recall Mr. Rankin asking you about  
4 interim number portability in Florida?

5 A Yes, I do.

6 Q Has AT&T requested route indexing number  
7 portability hub in Georgia?

8 A Yes, we have.

9 Q And is it not in place at this time?

10 A That's correct. It's not in place at this  
11 time.

12 Q If it does not work in Georgia, would you  
13 expect it to work in Florida?

14 A Certainly not. It is -- the capability that  
15 BellSouth has for all their nine states, it is one  
16 that we're working through with them, the methods and  
17 procedures. We're asking them to test it here in  
18 Georgia -- or in Georgia in the October time frame.  
19 It's one we believe is going to be very capable of  
20 handling the kinds of things that large customers are  
21 going to be needing, and it's one that I believe the  
22 rest of the industry will, in fact, use. Because  
23 permanent number portability doesn't fix the whole  
24 statement; it only fixes certain metropolitan areas.  
25 And there will be a long period of time before some

1 areas will have the access to number portability. RCF  
2 and DID are not the solutions that will be viable for  
3 a long term. We need another means and route indexing  
4 portability hub will, in fact, offer CLECs and other  
5 customers that means.

6 Q You were asked a series of questions about  
7 the local usage factor. Do you recall those?

8 A Yes, I do.

9 Q How long did the process with BellSouth take  
10 to get to the point where we are on a PLU?

11 A Without actually counting up all of the  
12 months, it seemed like about seven months. We started  
13 that in February, I believe, or March, after the  
14 Georgia agreement was signed, and it was in late  
15 August, after my deposition that we actually sent them  
16 the percent local usage factor.

17 We still don't have it resolved yet because  
18 we've not heard back from them yet on which method  
19 they will use to apply the factor, and also we have  
20 not yet gone through any kind of testing to validate  
21 that, in fact, they will do what they said they will  
22 do.

23 MR. HATCH: That's all I've got. Thank you,  
24 Madam Chairman.

25 CHAIRMAN JOHNSON: Exhibits.



1           **MR. HATCH:** AT&T moves Composite Exhibit 93.  
2           **CHAIRMAN JOHNSON:** Show it admitted without  
3 objection.  
4           **MS. CULPEPPER:** Staff moves 94, 95 and 96.  
5           **CHAIRMAN JOHNSON:** Show those admitted  
6 without objection.  
7           (Exhibits 93 through 96 received in  
8 evidence.)  
9           **CHAIRMAN JOHNSON:** Thank you, sir. You're  
10 excused. We'll call the next witness.  
11           (Witness Hamman excused.)  
12   - - - - -  
13           **MR. MELSON:** Commissioner Johnson, while the  
14 next witness is coming to the stand, I've got a  
15 procedural matter I'd like to address just briefly.  
16           MCI's witness, Mr. Martinez, is the only  
17 witness in these proceedings who attended BellSouth's  
18 demonstration in Jacksonville two weeks ago of their  
19 internal OSS systems. I believe by attending that  
20 demonstration he learned some information that would  
21 be of interest to the Commission. His testimony --  
22 prefiled direct testimony deals with OSS systems  
23 provided to the ALECs. Two weeks ago in Jacksonville  
24 was the first opportunity that he had been afforded to  
25 see the systems that BellSouth uses themselves.

1           We would like the flexibility, if it might  
2 be granted, either to have him, during his summary,  
3 make reference to things he observed during that  
4 demonstration in Jacksonville, or alternatively, after  
5 his summary, for us to have the right to ask him a few  
6 questions to make some of those comparisons. And  
7 because I suspected this might be controversial, I  
8 wanted to ask now to give BellSouth an opportunity to  
9 think about their response.

10           **CHAIRMAN JOHNSON:** The comments that he  
11 would be prepared to make during his summary, are they  
12 written?

13           **MR. NELSON:** Yes. He has a prepared draft  
14 of his summary at this point.

15           **CHAIRMAN JOHNSON:** And that draft includes  
16 the additional comments?

17           **MR. MELSON:** Yes, ma'am. We would share  
18 that with BellSouth if you would like us to do that.

19           **CHAIRMAN JOHNSON:** Let's do that. Let's do  
20 that.

21           My inclination -- and I will entertain any  
22 objections that they might have, but my thoughts are  
23 that that information might be helpful for the  
24 Commissioners, and for the Staff. But I want them to  
25 have the opportunity to review it and then we'll take

1 argument on those points and then determine how we  
2 should proceed.

3 **MR. NELSON:** Okay. Thank you very much.

4 **MS. WHITE:** I also have a housekeeping  
5 matter. I received a phone message from Mr. Cohen,  
6 Time Warner's attorney, yesterday afternoon and he  
7 said that they would be filing this morning a Notice  
8 of Withdrawal of Testimony for Time Warner; I believe  
9 that is Mr. Gaskins, if you have it. I just wanted to  
10 make sure the Commission was aware of it.

11 **CHAIRMAN JOHNSON:** Yes, ma'am. Thank you.  
12 Any other preliminary matters?

13 **CHAIRMAN JOHNSON:** Are there any other  
14 witnesses here that will be testifying that have not  
15 been sworn? If you could raise your right hand.

16 (Witnesses collectively sworn.)

17

- - - - -

18

**JAY BRADBURY**

19 was called as a witness on behalf of AT&T  
20 Communications of the Southern States, Inc. and,  
21 having been duly sworn, testified as follows:

22

**DIRECT EXAMINATION**

23 **BY MS. RULE:**

24 **Q** Would you state your name and address for  
25 the record, please?

1           **A**     My name is Jay Bradbury. My business  
2 address is 1200 Peachtree Street, Atlanta, Georgia.

3           **Q**     And how are you employed?

4           **A**     I'm employed by AT&T. I am a negotiations  
5 and implementation manager in our local infrastructure  
6 and access management organization.

7           **Q**     And have you prepared 96 pages of direct  
8 testimony in this docket?

9           **A**     Yes, ma'am, I have.

10          **Q**     And attached to that testimony have you  
11 prepared Exhibits JB-1 through JB-11?

12          **A**     Yes, ma'am.

13                 **MS. RULE:** I would like that marked, and I'm  
14 sorry; I do not have the exhibit number that would be.

15                 **CHAIRMAN JOHNSON:** 98.

16                 **COMMISSIONER KIESLING:** 99.

17                 **CHAIRMAN JOHNSON:** I'm sorry; 99.

18                 **MS. RULE:** As Composite Exhibit No. 99.

19                         (Exhibit 99 marked for identification.)

20          **Q**     **(By Ms. Rule)** Do you have any changes,  
21 corrections, or revisions to that testimony or  
22 exhibits?

23          **A**     Yes, I do; and there is a sheet that's being  
24 passed around that has a few minor changes to the  
25 direct testimony.

1           **MS. RULE:** Commissioners, you should have  
2 before you a revised Exhibit JB-10 and JB-11, and  
3 those changes -- or this exhibit was provided to  
4 BellSouth last week.

5           Mr. Bradbury, in his direct testimony at  
6 Page 83, stated that he would be revising these  
7 exhibits at or before the hearing. And we would ask  
8 that these be marked as Composite Exhibit 100.

9           **CHAIRMAN JOHNSON:** They will be marked as  
10 Composite Exhibit 100.

11           **COMMISSIONER KIESLING:** I just have one  
12 question. Did you give a copy of all of this to the  
13 court reporter?

14           **WITNESS BRADBURY:** Yes, ma'am, we did.

15           **CHAIRMAN JOHNSON:** And that was JB-10 and  
16 11?

17           **MS. RULE:** The revised JB-10 and 11.

18           (Exhibit 100 marked for identification.)

19           **Q**     **(By Ms. Rule)** With those changes,  
20 corrections, and revisions, if I asked you the same  
21 questions today, would your answers be the same?

22           **A**     They would.

23           **Q**     And did you also cause to be prepared  
24 17 pages of rebuttal testimony?

25           **A**     I did.

1           **Q**     Do you have any changes, corrections or  
2 revisions to that material?

3           **A**     I do not.

4           **Q**     And if I asked you the same questions in  
5 your rebuttal testimony today, would your answers be  
6 the same?

7           **A**     They would.

8           **MS. RULE:** I would ask that Mr. Bradbury's  
9 direct and rebuttal testimony be inserted in the  
10 record as though read.

11           **CHAIRMAN JOHNSON:** It will be so inserted.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

In Re: Consideration of	)	DOCKET NO. 960786-TL
BellSouth Telecommunications	)	FILED: July 17, 1997
Inc.'s entry into InterLATA	)	
services pursuant to Section 271	)	
of the Federal	)	
Telecommunications Act of 1996.	)	

---

DIRECT TESTIMONY  
OF  
JAY BRADBURY  
ON BEHALF OF  
AT&T COMMUNICATIONS OF  
THE SOUTHERN STATES INC.

**BACKGROUND**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**Q. PLEASE STATE YOUR NAME AND ADDRESS.**

A. My name is Jay Bradbury. My business address is 1200 Peachtree Street, Atlanta, Georgia.

**Q. PLEASE DESCRIBE YOUR CURRENT POSITION AND RESPONSIBILITIES.**

A. Since August 1995, I have been employed by AT&T as a Manager in the Local Infrastructure and Access Management Organization. In that position, I handle responsibilities associated with negotiating and implementing operational agreements with incumbent local exchange companies needed to support AT&T's entry into the local telecommunications market.

**Q. PLEASE DESCRIBE YOUR EDUCATIONAL BACKGROUND AND PROFESSIONAL EXPERIENCE.**

A. I graduated with a Bachelor of Arts degree in History from The Citadel in 1966. I have taken additional undergraduate and graduate courses at the University of South Carolina and North Carolina State University in Business and Economics. In 1987 and 1988, I participated in Advanced Management Programs at Rutgers University and the University of Houston.

I began my AT&T career in 1970 as a Chief Operator with Southern Bell's Operator Services Department in Raleigh, North Carolina. From 1972 through 1987, I held various positions within Southern Bell's (1972 - 1984)



1 and AT&T's (1984 - 1987) Operator Services Departments where I was  
2 responsible for the planning, engineering, implementation and administration  
3 of personnel, processes and network equipment used to provide local and toll  
4 operator services and directory assistance services in North Carolina, South  
5 Carolina, Kentucky, Tennessee and Mississippi. In 1987, I transferred to  
6 AT&T's External Affairs Department in Atlanta, Georgia, where I was  
7 responsible for managing AT&T's needs for access network interfaces with  
8 South Central Bell, including the resolution of operational performance,  
9 financial and policy issues. From 1989 through November 1992, I was  
10 responsible for AT&T's relationships (including the negotiation and  
11 administration of billing and marketing contracts, card honoring contracts,  
12 facility contracts, and the support of sales of Network Systems products) with  
13 Independent Telephone Companies within the South Central Bell States and  
14 Florida. From November 1992 through April 1993, I was a Regulatory  
15 Affairs Manager in the Law and Government Affairs Division responsible for  
16 the analysis of industry proposals before regulatory bodies in the South  
17 Central States to determine their impact on AT&T's ability to meet its  
18 customers' needs with services that are competitively priced and profitable.  
19 In April of 1993, I transferred to the Access Management Organization  
20 within AT&T's Network Services Division as a Manager - Access  
21 Provisioning and Maintenance with responsibilities for on-going management  
22 of processes and structures in place with Southwestern Bell to assure that  
23 their access provisioning and maintenance performance met the needs of  
24 AT&T's Strategic Business Units.  
25

1 Q. WHAT IS THE SCOPE OF YOUR TESTIMONY?

2 A. My testimony examines whether BellSouth's proposed operational support  
3 system ("OSS") interfaces described by BellSouth Witness Calhoun comply  
4 with the Telecommunications Act of 1996 (the "Act") and its implementing  
5 regulations. In particular, I examine whether such interfaces provide new  
6 entrants with nondiscriminatory access to BellSouth's OSS functions.  
7 BellSouth's interfaces do not meet the requirements of the Act; and therefore  
8 this Commission should not approve either BellSouth's SGAT or BellSouth's  
9 271 application.

10

11 The primary reason is that BellSouth's proposed OSS interfaces are  
12 discriminatory. With few exceptions, the BellSouth interfaces do not  
13 provide new entrants with the same capabilities BellSouth possesses for  
14 itself. For example, most of BellSouth's interfaces require more human  
15 intervention to perform OSS functions than is required when BellSouth uses  
16 its OSS to perform the same or equivalent functions. This is important  
17 because human intervention increases work time, error rates, and costs for  
18 new entrants. In addition, several of BellSouth's proposed interfaces do not  
19 have sufficient capacity to meet the combined operational requirements of all  
20 new entrants. Furthermore, several of BellSouth's proposed interfaces do not  
21 comport with existing and emerging industry standards, and BellSouth has  
22 not provided adequate technical data to allow new entrants to develop  
23 systems and processes that would be compatible with BellSouth's proposed  
24 interfaces.

25

1 The Act requires nondiscriminatory access to BellSouth's interfaces, and  
2 BellSouth has not met this requirement. BellSouth has not provided  
3 empirical evidence that its interfaces actually provide nondiscriminatory  
4 access to BellSouth's OSS. BellSouth's proposed interfaces have not been  
5 sufficiently tested. In fact, BellSouth has conceded that the design of a  
6 primary interface (the Local Exchange Negotiation System or LENS) will not  
7 be stable before the end of the year, which means that BellSouth's proposed  
8 interfaces also have little if any operational experience to demonstrate that  
9 they will provide nondiscriminatory access in the real world. For these  
10 reasons and others discussed below, the Florida Commission should find that  
11 BellSouth's OSS interfaces, as they exist today, do not comply with the  
12 requirements of Section 251 of the Act and, therefore, do not meet the  
13 competitive checklist requirements under Section 271 of the Act or the SGAT  
14 requirements under Sections 251 and 252 of the Act.

15  
16 **Q. WHAT ISSUES INVOLVED IN THIS DOCKET DOES YOUR**  
17 **TESTIMONY AFFECT?**

18 A. As noted above, my testimony examines BellSouth's failure to provide  
19 nondiscriminatory access to OSS functions. BellSouth's failure to provide  
20 such access is critical to many issues that are now before the Florida  
21 Commission. Specifically:

22 **Issue 2:** Has BellSouth provided interconnection in accordance with  
23 the requirements of Sections 251(c)(2) and 252(d)(1) of the  
24 Telecommunications Act of 1996, pursuant to Section  
25 271(c)(2)(B)(i) and applicable rules promulgated by the FCC?

1                   **Reason:**       BellSouth's failure to provide  
2 nondiscriminatory access to OSS functions as specifically  
3 required by the Act is necessary for new entrants to order  
4 interconnection, obtain provisioning information about  
5 interconnection orders, submit and monitor trouble reports  
6 regarding interconnection, and receive necessary billing  
7 information for interconnection.

8           **Issue 3:**       Has BellSouth provided nondiscriminatory access to network  
9 elements in accordance with the requirements of Sections  
10 251(c)(3) and 252(d)(1) of the Telecommunications Act of  
11 1996, pursuant to Section 271(c)(2)(B)(ii) and applicable rules  
12 promulgated by the FCC?

13                   **Reason:**       Operational support systems are network  
14 elements for which BellSouth must, but cannot presently,  
15 provide nondiscriminatory access. In addition,  
16 nondiscriminatory access to OSS functions is critical to  
17 BellSouth's ability to provide nondiscriminatory access to  
18 other network elements. Nondiscriminatory access to other  
19 network elements necessarily includes the ability to order,  
20 provision, maintain, and bill those network elements.

21           **Issue 3(a)**    Has BellSouth developed performance standards and  
22 measurements ? If so, are they being meet?

23                   **Reason:**       BellSouth must have performance standards  
24 and measurements for OSS functions to demonstrate that it  
25 meets its obligation under the Act to provide

1 nondiscriminatory access. Lack of such standards makes it  
2 impossible for BellSouth to demonstrate compliance with its  
3 obligations to provide nondiscriminatory access. This is  
4 discussed in further detail in Mike Pfau's testimony.

5 **Issue 9:** Has BellSouth provided white pages directory listings for  
6 customers of other telecommunications carrier's telephone  
7 exchange service, pursuant to Section 271(c)(2)(B)(viii) and  
8 applicable rules promulgated by the FCC?

9 **Reason:** Nondiscriminatory access to directory listings  
10 requires that BellSouth provide new entrants the same  
11 capability to submit orders for directory listings as BellSouth  
12 provides itself. BellSouth has not provided such capability.

13 **Issue 10:** Has BellSouth provided nondiscriminatory access to telephone  
14 numbers for assignment to the other telecommunications  
15 carriers' telephone exchange service customers, pursuant to  
16 Section 271(c)(2)(B)(ix) and applicable rules promulgated by  
17 the FCC?

18 **Reason:** Nondiscriminatory access to telephone numbers  
19 requires that BellSouth provide new entrants the same  
20 capability to obtain telephone numbers as BellSouth provides  
21 itself. BellSouth has not provided such capability.

22 **Issue 12:** Has BellSouth provided number portability, pursuant to  
23 Section 271(c)(2)(B)(xi) and applicable rules promulgated by  
24 the FCC?

1                   **Reason:**       BellSouth must provide new entrants with a  
 2                   reasonable and nondiscriminatory means to order number  
 3                   portability. BellSouth has not done so.

4           **Issue 15:**   Has BellSouth provided telecommunications services  
 5                   available for resale in accordance with the requirements of  
 6                   Sections 251(c)(4) and 252(d)(3) of the Telecommunications  
 7                   Act of 1996, pursuant to Section 271(c)(2)(B)(xiv) and  
 8                   applicable rules promulgated by the FCC?

9                   **Reason:**       The FCC Order requires BellSouth to provide  
 10                   nondiscriminatory access to OSS function as part of its  
 11                   obligation under Section 251(c)(4) not to impose unreasonable  
 12                   or discriminatory conditions or limitations on resale.  
 13                   BellSouth has not provided such nondiscriminatory access.

14           **Issue 15(a)**   Has BellSouth developed performance standards and  
 15                   measurements ? If so, are they being meet?

16                   **Reason:**       BellSouth must have performance standards  
 17                   and measurements for OSS functions involved in resale in  
 18                   order to demonstrate that BellSouth is meeting its obligations  
 19                   under the Act. As stated above, BellSouth has not instituted  
 20                   such performance standards and measures. This is discussed  
 21                   in further detail in Mike Pfau's testimony.

22

## 23                   **OSS REQUIREMENTS UNDER THE ACT**

24

25   **Q.       WHAT ARE OPERATIONAL SUPPORT SYSTEMS ("OSS")?**

1 A. Operational support systems are computer-based systems and databases that  
2 telecommunications carriers use to perform essential customer and business  
3 support functions, including pre-ordering, ordering, provisioning,  
4 maintenance and repair, and billing. Computer-based OSS enable  
5 telecommunications carriers to transmit data electronically between different  
6 systems, thereby maximizing efficiency and effectiveness in the performance  
7 of these essential support functions. Without electronic OSS interfaces,  
8 effective competition within the local telecommunications market will not  
9 develop.

10

11 **Q. DID THE FEDERAL COMMUNICATIONS COMMISSION ("FCC")**  
12 **ADDRESS ACCESS TO OSS?**

13 A. Yes. In its First Report and Order, the FCC concluded that OSS were  
14 network elements that must be unbundled upon request under Section  
15 251(c)(3). FCC Order No. 96-325 ¶ 525 (Aug. 8, 1996) (hereinafter "FCC  
16 Order"). In addition, the FCC concluded that OSS functions are subject to  
17 the duty imposed by Section 251(c)(3) on incumbent local exchange carriers  
18 to provide nondiscriminatory access to network elements, and the duty  
19 imposed by Section 251(c)(4) to provide resale services under just,  
20 reasonable, and nondiscriminatory conditions. FCC Order ¶ 517. An  
21 incumbent LEC, therefore, must provide nondiscriminatory access to the full  
22 range of functions within pre-ordering, ordering, provisioning, maintenance  
23 and repair, and billing of network elements and resold services. FCC Order  
24 ¶ 525. Nondiscriminatory access necessarily includes access to the  
25 functionality of any internal systems the incumbent LEC employs for its own

1 customers. FCC Order ¶ 523. An incumbent LEC does not discharge its  
2 duty to provide nondiscriminatory access if that incumbent LEC provides  
3 electronic access to itself but offers new entrants access that involves human  
4 intervention. FCC Order ¶ 523.

5  
6 In its Second Order on Reconsideration, the FCC affirmed its previous order.  
7 FCC Order No. 96-476 (Dec. 13, 1996). The FCC noted that providing  
8 access to OSS functions is a critical requirement for complying with Section  
9 251. Id. at ¶ 11. The FCC also indicated that incumbent LECs not providing  
10 access to OSS functions in accordance with the FCC's First Report and Order  
11 (discussed above) would not meet the competitive checklist under Section  
12 271 of the Act. Id. In other words, nondiscriminatory access to all OSS  
13 functions, including internal LEC systems, is required by Section 271.  
14 BellSouth does not meet this requirement at this time.

15  
16 **Q. IS NONDISCRIMINATORY ACCESS TO OSS REQUIRED BY**  
17 **SECTION 252 AND SECTION 271 OF THE ACT?**

18 A. Yes. Under Section 252(f)(2) of the Act, a State commission may not  
19 approve an SGAT unless the SGAT complies with Section 251, Section  
20 252(d), and the respective implementing regulations. As explained above, the  
21 FCC regulations require a Regional Bell Operating Company ("RBOC") to  
22 provide nondiscriminatory access to its OSS in order to comply with Section  
23 251(c)(3) regarding network elements, and Section 251(c)(4) regarding  
24 resale. FCC Order ¶ 525. Accordingly, State commissions may not approve



1 an SGAT unless it provides for nondiscriminatory access to the RBOC's  
2 OSS.

3  
4 Under Section 271, the FCC may not approve an RBOC's application under  
5 either Track A or Track B unless that RBOC complies with the competitive  
6 checklist. The Act requires the FCC to consult with the State commission in  
7 order to verify compliance with the competitive checklist and other  
8 requirements. Two of the many requirements of the competitive checklist are  
9 compliance with Sections 251(c)(3) and 251(c)(4). An RBOC, therefore,  
10 must provide nondiscriminatory access to its OSS in order to meet the  
11 competitive checklist, because such nondiscriminatory access is essential to  
12 complying with Sections 251(c)(3) and 251(c)(4).

13  
14 **Q. DO YOU HAVE ANY SUPPORT FOR YOUR ASSERTIONS**  
15 **REGARDING NONDISCRIMINATORY ACCESS TO AN RBOC'S**  
16 **OSS?**

17 A. Yes. The U.S. Department of Justice ("DOJ") has commented on this issue  
18 extensively, as have the Attorneys General of several states. The DOJ  
19 determined that Section 271 requires an RBOC to demonstrate that it can  
20 practicably provide checklist items by means of efficient wholesale support  
21 processes, including access to OSS functions. Evaluation of the U.S.  
22 Department of Justice, SBC Communications-Oklahoma, dated May 16,  
23 1997 ("DOJ Evaluation"), at 28. The DOJ's review emphasizes that  
24 nondiscriminatory access to RBOC OSS functions is an essential prerequisite  
25 to the development of competition. RBOC support processes must allow new

1 entrants to perform OSS functions at parity with the RBOC. Id. In addition  
2 to providing parity, the RBOC's wholesale support processes also must offer  
3 a level of functionality sufficient to provide new entrants with a meaningful  
4 opportunity to compete using resale and network elements. Id. In other  
5 words, providing parity of access is not enough if such parity does not  
6 provide new entrants with the functionality necessary to compete effectively.

7  
8 The DOJ concluded that automation of wholesale support processes is needed  
9 in two primary areas to provide access to OSS functions and facilitate the  
10 processing of transactions for resale services and network elements. DOJ  
11 Evaluation, App. A, at 69. First, the RBOC and new entrants must develop  
12 electronic transaction interfaces that will permit them to exchange  
13 information in agreed-upon formats. Id. An example of an agreed-upon  
14 format is Electronic Data Interchange ("EDI") format that is the industry  
15 standard for ordering. The RBOC must provide the new entrant with the  
16 information and cooperation necessary for the new entrant to develop and  
17 maintain its internal OSS to be compatible with the electronic interface. Id.

18  
19 Second, the RBOC must automate the interaction of its internal OSS with the  
20 transactions flowing through the electronic interface in agreed-upon formats.  
21 DOJ Evaluation, App. A, at 70. That may require the RBOC to develop  
22 entirely new systems for efficiently processing the new entrants' transactions  
23 in order to make resale and network elements practicably available. Id. At a  
24 minimum, the RBOC must automate processes for new entrants where the  
25 RBOC utilizes automated processes for its own retail operations. Id. at 71.

1 Put another way, the degree of automation that the RBOC uses in its retail  
2 operations marks the floor -- not the ceiling -- for the degree of automation  
3 that the RBOC must provide new entrants. BellSouth, therefore, must  
4 provide additional automation if the existing processes do not provide new  
5 entrants a meaningful opportunity to compete.

6  
7 **Q. HOW DID THE DOJ EVALUATE THE RBOC'S COMPLIANCE**  
8 **WITH THE REQUIREMENTS OF SECTION 271?**

9 A. The DOJ used two criteria to evaluate compliance with Section 271  
10 requirements -- functionality and operability. DOJ Evaluation, App. A, at 68.  
11 The functionality criterion evaluates system capabilities, whereas the  
12 operability criterion evaluates system performance. Described below are  
13 some of the issues that the DOJ evaluated under each criterion.

14 **Functionality**

15 Compliance with Industry Standards -- The DOJ concluded it was  
16 critical for RBOCs to be proactive in complying with existing and  
17 emerging industry standards. Industry standards will ultimately  
18 reduce the need for new entrants to build completely separate  
19 interfaces for each RBOC, which in turn will lower costs and facilitate  
20 faster development of such interfaces. DOJ Evaluation, App. A, at  
21 73-74.

22  
23 Human-to-Machine Interfaces versus Machine-to-Machine Interfaces  
24 --The DOJ found that current industry standards recognize the  
25 shortcomings of human-to-machine interfaces, and industry groups

1 have focused almost exclusively on machine-to-machine (i.e.,  
2 application-to-application) interfaces. The DOJ concluded that  
3 human-to-machine interfaces may satisfy the Act's nondiscrimination  
4 requirements for small new entrants. That same interface, however,  
5 would place larger new entrants at a significant competitive  
6 disadvantage, would deny the larger new entrants a meaningful  
7 opportunity to compete, and would limit the practicable availability of  
8 services and network elements to larger new entrants. Specifically,  
9 the DOJ found that SBC's EASE interface (which uses terminal  
10 emulation technology) forces new entrants with their own OSS to  
11 manually enter the information twice -- once in the RBOC's interface  
12 and a second time into its own OSS. Double entry places new  
13 entrants at a significant disadvantage by introducing additional costs,  
14 delays, and human error. Such a disadvantage amounts to  
15 unreasonable and discriminatory conditions imposed on new entrants  
16 possessing their own OSS. DOJ Evaluation, App. A, at 74-75.  
17 Importantly, BellSouth's LENS shares the deficiencies of SBC's  
18 EASE interface.

19  
20 Nondiscrimination -- The DOJ concluded that the FCC's  
21 nondiscrimination rules (1) require parity of access to specific OSS  
22 functions, (2) recognize that providing such access may require the  
23 RBOC to modify its existing systems, and (3) are nowhere limited by  
24 the role OSS functions play in the RBOC's retail offerings.  
25 Importantly, the DOJ specifically rejected the notion that

1            nondiscriminatory access simply means that an incumbent LEC need  
2            only offer to new entrants the same type of OSS functionality that the  
3            RBOC currently utilizes for itself. In addition to providing parity of  
4            access, the RBOC must make services and network elements  
5            practically available, which can require additional automation. DOJ  
6            Evaluation, App. A, at 77-80.

7

### 8            Operability

9            Testing -- The DOJ found that software development experts widely  
10            agree that highly-complex software applications, like electronic  
11            interfaces and the associated OSSs, must undergo all of the generally  
12            agreed-upon tests for quality software development to be considered  
13            practically operational. The most widely used software testing  
14            process consists of five stages. The last stage, acceptance testing,  
15            involves the use of data supplied by the system procurer rather than  
16            simulated test data. Effective OSS interface testing must include  
17            testing by new entrants.

18

19    **Q.    WHAT IS THE DOJ'S ROLE IN EVALUATING OPERATIONAL**  
20    **SUPPORT SYSTEMS?**

21    A.    The Act clearly authorizes the DOJ to evaluate the RBOC's ability to provide  
22    nondiscriminatory access to OSS functions. Through Section 271(d)(2)(A),  
23    Congress requires the DOJ to evaluate an RBOC's Section 271 application  
24    using any standard the DOJ considers appropriate. Furthermore, Congress  
25    requires that the FCC give substantial weight to the DOJ's evaluation. While

1 the DOJ's evaluation may not be binding, it certainly is particularly  
2 persuasive with respect to interpreting the statutory and regulatory  
3 requirements that an RBOC provide nondiscriminatory access to OSS  
4 functions—an essential component to the development of competition.

5  
6 I have met with the DOJ on several occasions and their representatives  
7 impressed me with their knowledge of systems issues. It is my understanding  
8 that the DOJ has consulted with many systems experts, including experts  
9 from the RBOCs, new entrants, and independent consultants. Furthermore, it  
10 is my understanding that the DOJ received all of the affidavits and other  
11 evidence submitted in both the SBC and Ameritech Section 271 proceedings.  
12 Additionally, BellSouth's ability to provide nondiscriminatory access to OSS  
13 functions is essential to the development of competition in the monopoly  
14 local exchange market. That would appear to me to involve antitrust issues  
15 and therefore is a necessary component of the DOJ's antitrust review. For  
16 these reasons, the Commission should give great weight to the DOJ's  
17 evaluation.

18

19 **Q. DID THE ATTORNEYS GENERAL FROM THIRTEEN STATES**  
20 **SUBMIT A BRIEF TO THE FCC REGARDING SBC'S SECTION 271**  
21 **APPLICATION THAT ADDRESSED OSS ISSUES?**

22 **A.** Yes. The Attorneys General from thirteen states, including Florida,  
23 submitted a brief to the FCC to set forth their views on the public policy  
24 considerations and legal principles the FCC should apply in considering a  
25 Section 271 application. Reply Comments of the Attorneys General, SBC

1           Communications § 271 - Oklahoma (May 27, 1997) ("Attorneys General  
2           Brief"), at 3. The Attorneys General urged the FCC to pay particular  
3           attention to an RBOC's efforts to provide nondiscriminatory access to its OSS  
4           because such access is a "critical prerequisite to the development of effective  
5           local competition." Id. at 7-8. The Attorneys General concluded that  
6           "[n]ondiscriminatory access requires implementation of OSS functions that  
7           are sufficiently comparable to what is available internally to the BOC that  
8           they do not present barriers to effective competition by CLECs." Id. at 8  
9           (emphasis added). The Attorneys General believe that "[a]ttentive regulatory  
10          review of a BOC's efforts at providing nondiscriminatory access to OSS is  
11          necessary, since providing this sort of assistance to its competitors runs  
12          strongly counter to the natural competitive instincts of any business." Id.

13  
14          Given the natural competitive tension involved with the RBOCs providing  
15          critical services to their competitors, the Attorneys General concluded that an  
16          RBOC's internal testing was not sufficient to demonstrate that the proposed  
17          interfaces would function as planned. Attorneys General Brief at 8. The  
18          Attorneys General outlined several prerequisites that must be satisfied before  
19          an RBOC's OSS interfaces meet the requirements of the competitive  
20          checklist. First, there must be "some experience with the systems on a day-  
21          to-day basis under conditions of general local competition in order to assess  
22          their adequacy on this measure." Id. at 8-9. Second, there must be a  
23          shakedown and debugging period, and all the debugging must be successfully  
24          completed. Id. at 9. Third, there must be some accumulation of experience  
25          in a competitive environment "so that the disputes that will inevitably arise

1 about the scope of the BOC's interconnection obligations can be identified  
2 and addressed while the BOC still has a powerful incentive to resolve the  
3 dispute promptly." *Id.* at 9. Fourth, some record of experience under  
4 competitive conditions "is necessary to reveal whether the RBOC will engage  
5 in unfair or discriminatory practices to inhibit entry into local exchange  
6 services markets." *Id.* at 9. As the Attorneys General point out,  
7 nondiscriminatory access to RBOC OSS interfaces is not an arbitrary hurdle  
8 to RBOC long distance market entry—rather, it is a necessary condition for  
9 local competition.

10

11 **Q. WHAT ARE THE CHARACTERISTICS OF AN INTERFACE THAT**  
12 **PROVIDES NONDISCRIMINATORY ACCESS TO AN INCUMBENT**  
13 **LEC'S OSS?**

14 A. The first characteristic is performance. The FCC Order, the DOJ, and the 13  
15 Attorneys General focused on enabling new entrants to perform OSS  
16 functions in substantially the same time and manner as the incumbent in order  
17 to provide new entrants with a meaningful opportunity to compete.

18 As stated by the FCC: [I]f competing carriers are  
19 unable to perform the functions of pre-ordering,  
20 ordering, provisioning, maintenance and repair, and  
21 billing for network elements and resale services in  
22 substantially the same time and manner that an  
23 incumbent can for itself, competing carriers will be  
24 severely disadvantaged, if not precluded altogether,  
25 from fairly competing. Thus providing



1 nondiscriminatory access to these support system  
2 functions, which would include access to the  
3 information that such systems contain, is vital to  
4 creating opportunities for meaningful competition.

5 FCC Order ¶ 518. Likewise, the DOJ concluded:

6 Under Section 271, an applicant must demonstrate that  
7 it can practicably provide checklist items by means of  
8 efficient wholesale support processes, including access  
9 to OSS functions. These processes must allow CLECs  
10 to perform ordering, maintenance, billing, and other  
11 functions at parity with the BOC's retail operations.  
12 Further, a BOC's wholesale support processes must  
13 offer a level of functionality sufficient to provide  
14 CLECs with a meaningful opportunity to compete  
15 using resale services and unbundled elements.

16 DOJ SBC Evaluation, at 28 (emphasis added). Similarly, the Attorneys  
17 General concluded:

18 Nondiscriminatory access requires implementation of  
19 OSS functions that are sufficiently comparable to what  
20 is available internally to the BOC that they do not  
21 present barriers to effective competition by CLECs.

22 Attorneys General Brief at 8 (emphasis added). In sum, the Act's  
23 nondiscrimination requirements mandate that an incumbent LEC's interfaces  
24 enable a new entrant to perform the OSS functions in substantially the same  
25 time and manner as the incumbent LEC, and provide new entrants with a

1 meaningful opportunity to compete. BellSouth's current offerings do not  
2 meet this standard.

3

4 For an interface to satisfy the Act's nondiscrimination requirements, the  
5 interface must demonstrate, at a minimum, the characteristics described  
6 below. An interface with these characteristics will minimize the differences  
7 in OSS functional capabilities between the incumbent LEC and the new  
8 entrant:

9

10 **Electronic** -- The interface must be a machine-to-machine interface  
11 (computer application program-to-computer application program) that  
12 provides fully electronic interaction between the incumbent LEC's  
13 OSS and the new entrant's OSS. The interface must not require more  
14 human intervention in a transaction than is necessary when the  
15 incumbent performs a similar transaction for itself. As demonstrated  
16 below, BellSouth's electronic interfaces do not meet this standard.

17

18 **Functionality** -- The interface must provide all new entrants  
19 requesting access to the incumbent LEC's OSS with at least the same  
20 capabilities to perform their operations support functions with at least  
21 the same level of quality, efficiency, and effectiveness that the  
22 incumbent provides to itself. Again, BellSouth's interface fails to  
23 provide the necessary capability.

24

1           **Documented** -- The interface must be documented both adequately  
2           and sufficiently in advance to allow new entrants a reasonable  
3           opportunity to develop and deploy their own necessary systems, work  
4           processes, and employee training to use the interface. BellSouth does  
5           not yet offer adequate documentation.

6  
7           **Capacity** -- The interface must have the capacity to meet combined  
8           market volumes of all new entrants with response times that are  
9           equivalent to those the incumbent LEC provides itself. CLECs cannot  
10          compete without such volume capacity, which BellSouth has not  
11          demonstrated.

12  
13          **Standards** -- The interface must comply with existing  
14          telecommunications industry standards and ease the transition to  
15          evolving standards. Standards must govern:

- 16                 • What is to be communicated (transaction sets)
- 17                 • Specific information to be communicated (data elements)
- 18                 • Language and Rules for Communication (protocols).

19          Appropriate testing and performance measurements are necessary to  
20          determine whether the proposed OSS interfaces meet these five  
21          characteristics. Testing is necessary to determine initially whether the  
22          proposed OSS interfaces have the capability to meet the five characteristics.  
23          Performance measurements are required to determine whether the proposed  
24          OSS interfaces continue to operate at a level that meets the five

1 characteristics. Again, BellSouth's OSS interfaces have not met these  
2 characteristics.

3

4 **Q. MUST OSS INTERFACES BE ELECTRONIC IN ORDER TO**  
5 **PROVIDE NONDISCRIMINATORY ACCESS TO BELLSOUTH'S**  
6 **OSS FUNCTIONS?**

7 A. Yes. The FCC Order requires BellSouth to provide access to OSS functions  
8 under terms and conditions that would provide a new entrant with a  
9 meaningful opportunity to compete. The DOJ correctly interpreted the FCC  
10 Order to require electronic interfaces. The DOJ found that machine-to-  
11 machine interfaces are necessary to provide larger new entrants a meaningful  
12 opportunity to compete. See DOJ SBC Evaluation, App. A, at 74-76; DOJ  
13 Ameritech Evaluation, App. A, at A-2. The fact that industry groups have  
14 either adopted or are in the process of adopting machine-to-machine  
15 interfaces as the industry standard is evidence that the industry has concluded  
16 that such interfaces are necessary to provide new entrants with a meaningful  
17 opportunity to compete. See DOJ SBC Evaluation, App. A, at 75; DOJ  
18 Ameritech Evaluation, App. A, at A-2, A-3 n.5, A-5 n.6. Additional evidence  
19 that machine-to-machine interfaces are necessary to provide larger new  
20 entrants a meaningful opportunity to compete is the fact that AT&T and MCI  
21 have arbitrated interconnection agreements that require BellSouth to provide  
22 machine-to-machine interfaces. Clearly, the DOJ, industry groups, and the  
23 larger new entrants themselves are in the best position to assess what types of  
24 OSS interfaces are necessary to provide new entrants with a meaningful  
25 opportunity to compete as required by the FCC Order.

1

2 **Q. DO MANUAL PROCESSES FOR HANDLING ORDERS FOR**  
3 **"COMPLEX SERVICES" SATISFY BELLSOUTH'S OBLIGATION**  
4 **TO PROVIDE NONDISCRIMINATORY ACCESS?**

5 A. No. BellSouth has the capability to input its own orders for complex services  
6 directly and electronically into BellSouth's OSS. Nondiscriminatory access  
7 requires that new entrants have the same capability to input orders for  
8 complex services directly and electronically into BellSouth's OSS, regardless  
9 of whether BellSouth chooses to use internal manual processes prior to  
10 electronic entry. It is that simple. If new entrants have direct order entry  
11 capability like BellSouth, the new entrants can automate and eliminate the  
12 inefficient manual processes that BellSouth developed in a monopoly  
13 environment and improve customer service. Without direct order entry  
14 capability, however, BellSouth cannot provide nondiscriminatory access and  
15 will be able to hold new entrants captive to BellSouth's own inefficient  
16 manual processes. That is not what competition is about.

17

18 **Q. PLEASE EXPLAIN THE RELEVANCE OF INDUSTRY STANDARDS**  
19 **TO DETERMINING WHETHER BELLSOUTH'S PROPOSED**  
20 **INTERFACES PROVIDE NONDISCRIMINATORY ACCESS TO OSS**  
21 **FUNCTIONS.**

22 A. BellSouth's OSS interfaces must provide new entrants with a meaningful  
23 opportunity to compete. Clearly, the telecommunications industry establishes  
24 standards because industry standards are important to competition. As the  
25 DOJ found, industry standards help reduce costs and facilitate the

1 development of interfaces, which is critical to competition. See DOJ SBC  
2 Evaluation, App. A, at 73-74; DOJ Ameritech Evaluation, App. A, at A-3.  
3 The fact that BellSouth claims to be a strong supporter of industry standards  
4 demonstrates that such standards are important. The Florida Commission,  
5 moreover, determined in the AT&T/BellSouth arbitration that BellSouth's  
6 "electronic interfaces should conform to industry standards where such  
7 standards exist or are developed."  
8

9 **Q. ARE INDUSTRY STANDARDS IN FINAL FORM AT THIS TIME?**

10 A. The FCC Order recognized the competitive value of nationally standardized  
11 interfaces and sought "to ensure continued progress in establishing national  
12 standards". See FCC Order 96-325 ¶¶ 527-28. Thereafter, however, in its  
13 Second Order, the FCC made clear that incumbent LECs cannot delay  
14 competition by waiting until national standards have been fully developed  
15 before beginning to implement OSS interfaces.  
16

17 BellSouth could have developed a pre-ordering interface that reflected  
18 industry standards even in the absence of final "industry standards." First, as  
19 the DOJ noted, the industry is developing EDI-based pre-ordering guidelines.  
20 See DOJ Ameritech Evaluation, App. A, A-5 n.6. Since pre-ordering and  
21 ordering are not strictly separated processes, it only makes sense that the pre-  
22 ordering interface also would be EDI-based so that it would be compatible  
23 with the ordering interface. AT&T, moreover, had been negotiating an EDI-  
24 based pre-ordering interface for some time before BellSouth ever conceived  
25 of LENS, which is not an EDI-based interface. All the signs pointed toward

1 the industry adopting an EDI-based pre-ordering standard. If it is premature  
 2 to develop such interfaces, then BellSouth's attempt to enter the long distance  
 3 market is similarly premature; as the DOJ has recognized, new entrants  
 4 cannot be provided a meaningful opportunity to compete without EDI access.  
 5 Nevertheless, BellSouth proceeded to develop LENS and now claims that its  
 6 only alternative was to develop LENS or no pre-ordering interface at all.  
 7 That claim simply is not supported by an objective review of the facts.

8

9 **Q. IS AVAILABILITY OF ADEQUATE DOCUMENTATION**  
 10 **RELEVANT TO DETERMINING WHETHER BELLSOUTH'S**  
 11 **PROPOSED INTERFACES PROVIDE NONDISCRIMINATORY**  
 12 **ACCESS TO OSS FUNCTIONS?**

13 A. Yes. Inadequately documented interfaces do not provide new entrants with a  
 14 meaningful opportunity to compete. Certainly, a new entrant will have to  
 15 train personnel, undertake development work on its systems, and make  
 16 adjustments in those systems to implement system improvements. Properly  
 17 documented interfaces will facilitate the completion of those necessary tasks  
 18 in a manner that provides new entrants a meaningful opportunity to compete.

19

20 New entrants need adequate information of system requirements sufficiently  
 21 in advance of implementation in order to train their personnel and develop  
 22 their own systems. With respect to LENS, BellSouth has not provided  
 23 adequate information. New entrants also require a documentation change  
 24 control system so that BellSouth and new entrants can implement changes  
 25 efficiently and effectively. New entrants, however, have been excluded from

1 the process of managing programming changes to LENS. That is  
2 unreasonable because programming changes have the greatest impact on the  
3 end users of LENS -- new entrants. Compounding the problem is the fact  
4 that LENS is an immature system that will undergo numerous changes in the  
5 next six to nine months. Without adequate documentation of an electronic  
6 interface, new entrants will not have a meaningful opportunity to compete.

7

8 **PROPOSED INTERFACES TO BELLSOUTH'S**  
9 **OPERATION SUPPORT SYSTEMS**

10

**GENERAL**

11

12 **Q. IS IT YOUR UNDERSTANDING THAT BELLSOUTH IS**  
13 **PROPOSING TO USE THE SAME ELECTRONIC INTERFACES**  
14 **UNDER ITS DRAFT SGAT AS BELLSOUTH AGREED TO PROVIDE**  
15 **UNDER ITS INTERCONNECTION AGREEMENT WITH AT&T?**

16 **A.** No. The SGAT does not offer electronic interfaces as required by the Act. It  
17 is my understanding that certain interim interfaces available to AT&T under  
18 its Interconnection Agreement (like LENS) will be available to new entrants  
19 under the Draft SGAT, but as permanent interfaces. The Draft SGAT,  
20 however, does not offer the permanent interfaces to new entrants that  
21 BellSouth agreed to provide under its Interconnection Agreement with  
22 AT&T.

23



1 Q. CAN YOU BRIEFLY DESCRIBE THE TYPES OF INTERFACES  
2 PROVIDED UNDER THE DRAFT SGAT AND THE  
3 INTERCONNECTION AGREEMENT?

4 A. Yes. The Draft SGAT provides for the following types of OSS interfaces:

5

6 Manual Interfaces -- BellSouth's Draft SGAT refers to BellSouth's  
7 Ordering Guides. The Ordering Guides are geared toward instructing  
8 new entrants on how to complete paper forms that the new entrant  
9 would send to BellSouth via facsimile.

10

11 Local Exchange Navigation Systems (LENS) -- According to  
12 BellSouth, LENS uses "World Wide Web hypertext screens" to  
13 allow a new entrant to access several BellSouth systems and then use  
14 the output from one BellSouth system as the input for another  
15 BellSouth system to perform certain pre-ordering, ordering and  
16 provisioning functions. New entrants can access LENS by: (1) dial-  
17 up; (2) Local Area Network-to-Local Area Network ("LAN-to-  
18 LAN"); and (3) the Internet.

19

20 LENS is a human-to-machine interface in that LENS interfaces with  
21 the new entrant's service representative rather than directly with the  
22 new entrant's OSS. BellSouth intends to use LENS as a permanent  
23 interface despite the fact that BellSouth cannot adapt LENS to reflect  
24 evolving industry standards.

25

1           The Interconnection Agreement between BellSouth and AT&T  
2           acknowledges LENS as an interim interface that provides some pre-  
3           ordering capability. Under the Interconnection Agreement, AT&T  
4           reserved the right to: (1) review LENS specifications as they become  
5           available; and (2) elect to use LENS if it is operationally and  
6           economically viable. Nevertheless, LENS does not qualify as an  
7           electronic interface that would meet the requirements of Section 271.

8

9           **Ordering Interfaces** -- BellSouth proposes to offer an Electronic  
10          Data Interchange ("EDI") interface for ordering certain resold  
11          services and network elements, and the Exchange Access Control  
12          and Tracking ("EXACT") system for ordering interconnection  
13          services and other network elements. New entrants may use the EDI  
14          interface to transmit certain local service requests to BellSouth and  
15          receive an acknowledgment of each request. The EDI interface  
16          proposes to use national standards and has three different means of  
17          transmitting the EDI message: (1) dial-up; (2) value-added network  
18          ("VAN"); and (3) Connect:direct, which transfers files in a batch  
19          mode. The EXACT system, which is an existing system used in the  
20          access world, also uses national standards. As configured today, EDI  
21          and EXACT do not meet the requirements of Section 271.

22

23          **Maintenance and Repair** -- BellSouth proposes to offer access to its  
24          Trouble Analysis Facilitation Interface (TAFI) for basic exchange

1 services and to its Electronic Bonding Interface ("EBI") for other  
2 services.

3

4 The Interconnection Agreement provides for the following types of OSS  
5 interfaces:

6

7 **Interim Interfaces** -- BellSouth agreed to provide AT&T with  
8 interim interfaces for Pre-Ordering, Ordering & Provisioning,  
9 Maintenance and Repair, and Billing for use until the required  
10 permanent electronic interfaces are in place. The interim interfaces  
11 are described in greater detail below, but generally do not satisfy the  
12 requirements of the Act because they require some varying degree of  
13 additional human intervention, lack certain important capabilities, or  
14 both. Exhibit JB-1 outlines the interim interfaces in use by AT&T  
15 for market entry in Georgia. The same interfaces will be used in  
16 Florida.

17

18 **Permanent Electronic Interfaces** -- BellSouth and AT&T agreed to  
19 work together to develop and implement an electronic  
20 communications interface to replace the interim interfaces. The  
21 Interconnection Agreement defines "electronic communications  
22 interface" as a machine-to-machine or application-to-application  
23 interface, and expressly excludes an interface (such as LENS) that  
24 provides a presentation for manual entry. Interconnection Agreement,  
25 Attachment 15, ¶ 4.6. The Interconnection Agreement requires

1 BellSouth and AT&T to develop a project plan and a Joint  
2 Implementation Agreement to apply to the permanent electronic  
3 interfaces. Interconnection Agreement, Attachment 15, ¶ 9.1.  
4 BellSouth and AT&T agreed to use "best efforts" to implement such  
5 interfaces by December 31, 1997. Interconnection Agreement,  
6 Attachment 15, ¶ 4.6. BellSouth and AT&T also agreed to adapt the  
7 permanent electronic interfaces based on evolving industry standards.  
8 Interconnection Agreement, Attachment 15, ¶ 4.7. Exhibit JB-2  
9 outlines the target view for the permanent electronic interfaces. When  
10 completed, fully tested and implemented, such interfaces should  
11 satisfy the requirements of the Act.

12

13 **Q. ARE THERE SIGNIFICANT DIFFERENCES BETWEEN LENS AND**  
14 **THE PERMANENT ELECTRONIC INTERFACES DESCRIBED IN**  
15 **THE INTERCONNECTION AGREEMENT?**

16 A. Yes. The permanent electronic interfaces should provide AT&T and other  
17 new entrants with nondiscriminatory access to BellSouth's OSS functions.  
18 LENS, however, is a classic example of a design that might meet the  
19 supplier's (BellSouth's) requirements but does not meet the customer's (new  
20 entrant's) requirements. LENS has significant deficiencies in each of the five  
21 characteristics of a nondiscriminatory interface that render it insufficient to  
22 comply with the Act. Some of the major deficiencies in LENS are:

23 **Electronic** -- LENS is not electronic because it is a human-to-  
24 machine interface.

1           **Functionality** -- LENS does not have the capability to perform the  
2           same functions as BellSouth's OSS.

3           **Documented** -- LENS is not sufficiently documented because  
4           BellSouth has not provided adequate technical specifications to allow  
5           a new entrant to build compatible systems.

6           **Capacity** -- LENS does not have sufficient pre-ordering capacity to  
7           meet the combined market demands of new entrants.

8           **Standards** -- LENS is a proprietary system that does not reflect  
9           existing and emerging industry standards.

10

11   **Q.    HAVE OTHER STATE COMMISSIONS DETERMINED WHETHER**  
12   **AN INCUMBENT LEC'S WEB-BASED INTERFACE CAN PROVIDE**  
13   **NONDISCRIMINATORY ACCESS TO OSS?**

14   **A.**   Yes. Like BellSouth, U.S. West has proposed a web-based interface to  
15       provide access to its OSS. Several state commissions have found that U.S.  
16       West's web-based interface did not meet the requirements of Section 251 or  
17       its implementing regulations. For example, the South Dakota Public Utilities  
18       Commission found that the web-based interface is a "human interface,"  
19       provides "inferior" service, and "does not comply with the federal Act or the  
20       FCC First Report and Order." South Dakota Public Utilities Commission,  
21       Findings of Fact and Conclusions of Law Order, Docket No. TC96-184, at 25  
22       (Mar. 20, 1997). Similarly, the North Dakota Public Service Commission  
23       found that "the web-based interface does not meet the requirements of the  
24       FCC's First Report." North Dakota Public Service Commission, Arbitrator's  
25       Decision, Case No. PU-453-96-497, at 57 (Mar. 19, 1997). Likewise, the

1 Montana Public Service Commission found merit in each of AT&T's  
2 criticisms regarding the deficiencies in the web-based interface. Montana  
3 Public Service Commission, Arbitration Decision and Order (No. 5961b),  
4 Docket No. D96.11.200, at 56 (Mar. 20, 1997). These deficiencies included:  
5 (i) that "the web page solution is a human interface and is prone to error;" and  
6 (ii) "the web page solution provides service inferior to that which U.S. West  
7 provides itself." Id. at 55. BellSouth's LENS system suffers from all of these  
8 infirmities.

9  
10 **Q. YOU STATE THAT LENS INVOLVES A HUMAN-TO-MACHINE**  
11 **INTERFACE WHEREAS THE PERMANENT ELECTRONIC**  
12 **INTERFACES INVOLVE A MACHINE-TO-MACHINE INTERFACE.**  
13 **PLEASE EXPLAIN.**

14 A. Webster's dictionary defines "interface" as a point at which independent  
15 systems interact. Logically, an "electronic interface" is a point at which two  
16 independent systems interact electronically. LENS does not meet that  
17 definition of an electronic interface because it requires a new entrant's service  
18 representative to manually operate BellSouth's electronic OSS (i.e., human-  
19 to-machine) rather than allowing the new entrant's electronic OSS to interact  
20 or interoperate with BellSouth's electronic OSS (i.e., machine-to-machine).  
21 **Because LENS does not allow BellSouth's and the new entrant's OSS to**  
22 **interact electronically, the new entrant's service representative must**  
23 **manually input data into BellSouth's OSS, and then manually input that**  
24 **data again into the new entrant's OSS.** The new entrant's service  
25 representative effectively becomes the "interface" between the new entrant's

1 OSS and BellSouth's OSS in lieu of a direct electronic interface. These extra  
2 steps, which are not required of the LEC, introduce additional costs, delays,  
3 and human error and therefore are discriminatory.

4

5 An example will help illustrate how the new entrant's service representative  
6 becomes the interface. LENS is somewhat analogous to a remote terminal to  
7 BellSouth's OSS where a new entrant's service representative will work  
8 instead of a BellSouth service representative. A new entrant's service  
9 representative should be able to use LENS to obtain pre-ordering data from  
10 BellSouth's OSS, transfer that data electronically into a service order, and  
11 input the service order into BellSouth's OSS. The new entrant's service  
12 representative will need to use the service order to create certain records in  
13 the new entrant's OSS, such as a customer service record. The service order,  
14 however, resides only in BellSouth's OSS, and LENS cannot electronically  
15 transmit the service order from BellSouth's OSS to the new entrant's OSS.  
16 The new entrant's service representative, therefore, must manually input the  
17 service record data twice: once into BellSouth's OSS and once into the new  
18 entrant's OSS. LENS effectively requires the new entrant's service  
19 representative to become the human "interface" between BellSouth's OSS and  
20 the new entrant's OSS.

21

22 **Q. DOES THE FACT THAT LENS IS A HUMAN-TO-MACHINE**  
23 **INTERFACE IMPACT THE DETERMINATION OF WHETHER**  
24 **LENS WILL PROVIDE NONDISCRIMINATORY ACCESS TO**  
25 **BELLSOUTH'S OSS?**

1 A. Yes. LENS cannot provide nondiscriminatory access to BellSouth's OSS. As  
2 explained above, LENS requires double data entry by new entrants. Double  
3 data entry increases the risk of errors and the transaction time required to  
4 process a new customer, which in turn increase a new entrant's costs.  
5 BellSouth will not have to enter data twice when performing the same OSS  
6 functions. In addition, LENS does not provide a new entrant with the same  
7 on-line, front end edits available in BellSouth's Regional Negotiation System  
8 ("RNS") or Direct Order Entry ("DOE") system. On-line edits in RNS and  
9 DOE check for errors and prevent the release of orders to the Service Order  
10 Control System ("SOCS") until the service representative corrects such  
11 errors. LENS only looks for the presence of data in required fields and,  
12 therefore, would release orders with errors that RNS and DOE would not  
13 release. Consequently, many errors in LENS orders are identified after LENS  
14 releases the order and the new entrant's service representative is off-line with  
15 respect to that particular order. Without on-line edits, new entrants are more  
16 likely to submit orders that are later rejected and must be resubmitted. The  
17 cycle time for that process will cause delays in providing service to  
18 customers, as well as increase transaction costs. That is discriminatory.  
19  
20 Where LENS does provide on-line edits, it does so inefficiently. First, LENS  
21 does not highlight mandatory fields to distinguish them from optional fields.  
22 Highlighting mandatory fields would reduce omissions. Second, LENS only  
23 displays one error at a time. If a particular screen had three errors, a new  
24 entrant would have to repeat essentially the same process three times. If  
25 LENS could display all of the errors initially, new entrants could correct the



1 errors more efficiently and effectively. These differences may appear  
2 insignificant at first, but the fact is that BellSouth will enjoy the use of  
3 systems that do not suffer from these infirmities. BellSouth will not incur this  
4 delay and expense when offering service to its customers.

5

6 **Q. YOU ALSO STATE THAT LENS IS A PROPRIETARY SYSTEM.**  
7 **DOES THAT AFFECT BELLSOUTH'S ABILITY TO PROVIDE**  
8 **NONDISCRIMINATORY ACCESS TO ITS OSS THROUGH LENS?**

9 A. Yes. LENS is a proprietary system because BellSouth owns and controls the  
10 design of LENS and has no obligation to conform to any industry standards  
11 or guidelines. That creates several problems. Under a proprietary system, the  
12 RBOC can make unilateral changes to the system. Unilaterally imposed  
13 changes can be expensive and disruptive for new entrants. In contrast, a  
14 system based on national standards (i.e., a non-proprietary system) is more  
15 stable because it is not subject to unilateral changes. A new entrant can plan  
16 and implement its operations more efficiently and effectively if the OSS  
17 interface is stable.

18

19 Another drawback to proprietary systems like LENS is that such systems  
20 typically are unique to that particular carrier. Consequently, new entrants  
21 who conduct business with more than one carrier have to operate with  
22 multiple OSS interfaces, which increases a new entrant's costs and decreases  
23 its operational effectiveness and efficiency. Systems based on national  
24 standards alleviate that problem.

25

1 Finally, information about proprietary systems generally is not publicly  
2 available. For example, AT&T has requested the technical specifications for  
3 LENS as provided for under the parties' Interconnection Agreement and the  
4 FCC's Second Order on Reconsideration. BellSouth, however, has not  
5 provided AT&T with the LENS technical specifications. Instead, BellSouth  
6 provided AT&T with the LENS functional requirement specification, but that  
7 document is proprietary and does not provide the information a new entrant  
8 needs to use LENS effectively. BellSouth also has never provided AT&T  
9 with a description of the changes BellSouth plans to make to LENS, or the  
10 results of testing BellSouth claims it has conducted for LENS. Without  
11 easily accessible information about LENS, it is impossible for new entrants to  
12 integrate LENS into their own operations.

13

14 **Q. ARE THERE SOFTWARE PROGRAMS OR PROGRAMMING**  
15 **TECHNIQUES THAT WOULD ELIMINATE THE**  
16 **DISADVANTAGES AND DRAWBACKS OF THE LENS**  
17 **INTERFACE?**

18 **A.** No. There are two techniques which have been proposed by BellSouth as  
19 possible methods to eliminate the disadvantages and drawbacks of web  
20 server-based interfaces such as LENS. These proposed techniques are  
21 "Screen Scraping" and the use of a "Tag Value" data stream from LENS  
22 instead of a screen format. Each technique places an additional costly  
23 development burden upon new entrants to compensate for the deficiencies of  
24 BellSouth's LENS. Specifically, new entrants must: (1) develop, test and  
25 implement the "front end" Screen Scraping software or Tag Value translator,

1 and (2) develop, test, and implement modifications to its own operations  
2 support systems to accept and process the unique non-standard data elements  
3 used by the BellSouth LENS.  
4

5 Neither technique reduces the adverse impact associated with the proprietary  
6 nature of LENS. To the contrary, both techniques increase the costs and  
7 operational disruptions associated with a BellSouth unilateral decision to  
8 make a change in LENS. For example:  
9

10 **Increased Costs** -- A new entrant using LENS without Screen  
11 Scraping or a Tag Value data stream will incur training costs when  
12 BellSouth makes a change. A new entrant using LENS with Screen  
13 Scraping or a Tag Value data stream, however, will incur training  
14 costs plus the costs to develop, test and implement software changes  
15 to the new entrant's front end systems and its operations support  
16 systems.  
17

18 **Longer Operational Disruptions** -- When BellSouth changes LENS,  
19 it will cause an operational disruption for all new entrants that use  
20 LENS. Depending on the change, the operational disruption could  
21 range from simple confusion to a complete loss of capability to place  
22 an order with BellSouth. The operational disruption will be longer for  
23 any new entrant using Screen Scraping or Tag Values because it will  
24 take longer to modify the new entrant's systems to accommodate  
25 BellSouth's change.

1           Although there are disruptions with any interface change in a standards  
2           environment, they are known in advance, which is not the case with  
3           BellSouth. The risk of increased costs and longer operational disruptions  
4           resulting from BellSouth's unilateral changes to LENS is a strong  
5           disincentive to new entrants investing resources to supplement LENS with  
6           Screen Scraping or Tag Value technology. That is particularly true because  
7           BellSouth requires new entrants to use the most current version of LENS  
8           (which is constantly changing) instead of allowing new entrants to choose to  
9           use older, but stable versions of LENS.

10

11           In any event, a new entrant cannot implement either of these techniques if  
12           BellSouth does not provide the specifications for LENS, the Web page  
13           screens it produces, or the Tag Values that will be sent in place of the screens.  
14           AT&T and BellSouth have been engaged in meetings to utilize the Tag Value  
15           method since January, 1997. Following AT&T's escalation of the issue to the  
16           BellSouth's executive level, BellSouth produced Tag Value documentation on  
17           March 20, 1997. Less than three weeks later (April 8, 1997), BellSouth  
18           retracted that documentation declaring their own work impractical. On April  
19           15, 1997, BellSouth abandoned its efforts to develop the alternatives  
20           presented in their "White Paper" dated September 6, 1996. BellSouth later  
21           provided a set of descriptions of their LENS web pages that supposedly were  
22           current as of April 25, 1997. The LENS design, however, is frequently and  
23           constantly changing because of its immaturity and instability. These changes  
24           make it commercially impracticable, if not virtually impossible for any new

1 entrant to develop systems that will allow new entrants to integrate their OSS  
2 with LENS. New entrants cannot hit a moving target.

3

4 **Q. DOES BELLSOUTH PROVIDE FOR TESTING OF LENS THAT IS**  
5 **SIMILAR TO THE TESTING OF PERMANENT ELECTRONIC**  
6 **INTERFACES REQUIRED UNDER THE INTERCONNECTION**  
7 **AGREEMENT?**

8 A. No. BellSouth does not provide for any joint testing of LENS with a new  
9 entrant. In contrast, the Interconnection Agreement memorializes BellSouth's  
10 and AT&T's mutual understanding that "end-to-end testing and load testing  
11 are necessary processes in the implementation of electronic interfaces and in  
12 establishing what further work needs to be done to insure that AT&T will  
13 receive electronic interfaces at parity with what BellSouth provides itself, its  
14 Affiliates, and its customers." Interconnection Agreement, Attachment 15, ¶  
15 8.3. In the Interconnection Agreement, both "AT&T and BellSouth agree[d]  
16 that no interface will be considered as operational until end-to-end integrity . .  
17 . or other mutually acceptable documentation is completed to the satisfaction  
18 of both Parties." Interconnection Agreement, Attachment 15, ¶ 8.1. Without  
19 joint testing with new entrants, new entrants cannot determine whether they  
20 can use LENS effectively, and BellSouth cannot demonstrate that LENS  
21 provides new entrants with nondiscriminatory access to BellSouth's OSS.

22

23 **Q. WHAT IS THE STATUS OF LENS?**

24 A. It is difficult to determine the status of LENS. BellSouth claims that LENS  
25 was "available" on April 28, 1997. LENS, however, cannot reasonably be

1 considered available because: (1) the LENS design is not stable and will not  
2 be stable for at least six to nine months; (2) new entrants cannot readily  
3 obtain access to LENS; and (3) LENS has not been adequately tested.

4

5 **The LENS Design Is Not Stable** -- The BellSouth project manager for the  
6 LENS program wrote a letter to AT&T on May 19, 1997 advising that the  
7 LENS design was not stable, and would not be stable for six to nine months.  
8 Exhibit JB-3. LENS cannot be considered "available" when the design is not  
9 stable.

10

11 During LENS Demonstrations for AT&T and the industry conducted by  
12 BellSouth on May 5 and May 13, 1997, BellSouth's employees referred to  
13 and commented on at least 28 corrections and enhancements to LENS (which  
14 is not a complete list of LENS deficiencies). They characterized these  
15 variously as being either required to fix known problems, improve operations  
16 and usefulness, or planned to provide parity with existing BellSouth OSS.  
17 Exhibit JB-4 lists these 28 items and their status as known by AT&T on July  
18 17, 1997. Many are still not available.

19

20 **Access to LENS Is Not Readily Obtainable** -- Another reason LENS cannot  
21 be considered "available" is that new entrants cannot readily obtain access to  
22 LENS. If a new entrant cannot obtain access to LENS after seven weeks,  
23 LENS can hardly be considered "available." AT&T, however, has tried  
24 unsuccessfully for almost seven weeks to obtain access to LENS. A

1 description of this saga will demonstrate why LENS cannot be considered  
2 "available."  
3

4 May 6, 1997 AT&T orders two dial-up identification  
5 numbers.  
6

7 May 7, 1997 AT&T orders two additional identification  
8 numbers. BellSouth advises AT&T that it will  
9 take two weeks to obtain the identification  
10 numbers.  
11

12 May 21, 1997 AT&T calls BellSouth but speaks to Account  
13 Team regarding identification numbers.  
14 Account Team could not provide AT&T the  
15 identification numbers or any information  
16 regarding the status of the identification  
17 numbers.  
18

19 May 23, 1997 AT&T calls BellSouth but BellSouth could not  
20 provide AT&T the identification numbers or  
21 any information regarding the status of the  
22 identification numbers.  
23

24 May 23, 1997 AT&T receives user identification number and  
25 passwords for four users by U.S. mail, but no

1 Secure Identification Card, which is required  
2 for dial-up access.

3

4 May 26, 1997 AT&T receives Secure Identification Card by  
5 U.S. mail.

6

7 June 3, 1997 One AT&T user attempts unsuccessfully to log  
8 onto LENS. AT&T user calls BellSouth user  
9 support group for assistance. After speaking  
10 with BellSouth, AT&T again unsuccessfully  
11 attempts to log onto LENS. AT&T again calls  
12 BellSouth user support group, but had to leave  
13 a message after reaching after-hours recording.

14

15 A second AT&T user calls BellSouth user  
16 support group to obtain a Uniform Resource  
17 Locator (URL) which is required by the LENS  
18 login procedure. BellSouth's user support  
19 group advises second AT&T user that URL  
20 would be provided to users during LENS  
21 training, which had not yet been scheduled.

22

23 June 4, 1997 BellSouth user support group calls AT&T and  
24 advises that AT&T's identification numbers had  
25 been changed.



1  
2                   June 6, 1997           AT&T calls BellSouth to obtain URL.  
3  
4                   June 9, 1997           BellSouth advises AT&T that URL will be  
5   forthcoming.  
6  
7                   June 10, 1997           AT&T receives URL.  
8  
9                   June 12, 1997           AT&T's repeated attempts to log onto LENS  
10   are unsuccessful. AT&T calls BellSouth user  
11   support group but had to leave message after  
12   reaching after-hours recording. BellSouth  
13   leaves message with AT&T inquiring about  
14   AT&T's ability to log onto LENS. AT&T  
15   returns call and leaves message that AT&T  
16   could not log onto LENS and that AT&T  
17   would meet with its system administrator to  
18   trouble shoot problem on June 13th.  
19  
20                   June 13, 1997           BellSouth user support group advises AT&T  
21   that user support group cannot support users  
22   that have not attended LENS training. AT&T  
23   system administrator determines that URL is  
24   not responding. AT&T calls LENS project  
25   manager to advise of continuing problems.

1 BellSouth subject matter expert calls AT&T  
2 user to walk through the log on process.  
3 BellSouth advises AT&T user that BellSouth  
4 had incorrectly issued an identification number  
5 for access to BellSouth secure router which  
6 would not provide access to LENS. BellSouth  
7 stated that BellSouth would take corrective  
8 action.

9 June 17, 1997 At a training session, BellSouth provided  
10 AT&T with valid user identification cards.

11

12 **Access to LENS on a Regional-Basis Is Uncertain** -- LENS appears to be  
13 incapable of accepting and automating profiles from a new entrant doing  
14 business in more than one geographic area at a time. AT&T recently initiated  
15 a request for IDs to use on a LAN-to-LAN connection. The forms provided  
16 by BellSouth request a number of items which were not required for the dial-  
17 up IDs. Additional items include: ACNA (Access Customer Name and  
18 Address Code), BAN (Billing Account Number), ACTL (Access Customer  
19 Terminal Location Code). The forms assume one entry for each of these  
20 items per LAN connection. ACNA is a constant, but BAN and ACTL are  
21 variables and multiple in nature. For example, AT&T will have four BANs  
22 per RAO (Revenue Accounting Office), BellSouth has 12 RAOs so AT&T  
23 will have 48 possible BANs. When questioned, BellSouth personnel  
24 indicated that they had not yet processed a request for LAN IDs and were not  
25 sure what was required. It is likely that new entrants will have to input

1 administrative, billing and contact information manually into LENS instead  
2 of having LENS populate these fields automatically based on the identity of  
3 the user, and the applicable NPA/NXX. This will be a time consuming and  
4 inefficient process and is not at parity with BellSouth's internal processes.

5  
6 **LENS Has Not Been Adequately Tested** -- It is also premature to consider  
7 LENS an operable interface before the completion of appropriate testing.  
8 BellSouth claims that BellSouth has tested LENS internally, which is a  
9 necessary part of the process but should not be the total process. BellSouth,  
10 however, has not shared its internal testing procedures or its test data with  
11 AT&T. Moreover, it is difficult to understand how LENS could pass any  
12 meaningful internal tests if the LENS design is not yet stable. In any event,  
13 LENS has not been subject to inter-carrier testing. As noted by the Attorneys  
14 General from 13 states including Florida:

15 Testing of the systems by the BOC is not enough to provide  
16 reasonable assurance that they will function as planned with the  
17 systems of the CLECs. It will require some experience with the  
18 systems on a day-to-day basis under conditions of genuine local  
19 competition in order to assess their adequacy on this measure.

20  
21 Even if a BOC acts with the best of intentions, it seems likely that the  
22 necessarily complex OSS functions it designs and implements will  
23 require some shakedown and debugging period before they interact  
24 smoothly with the systems of the CLECs. InterLATA approval  
25 should not be granted before the debugging has been successfully

1 completed, since the prospect of such approval provides a strong  
2 incentive for the BOC to focus on this problem and devote the  
3 resources necessary to resolve it.

4 Reply Comments of the Attorneys General, SBC Communications § 271 -  
5 Oklahoma (May 27, 1997), at 8-9. As discussed above, the DOJ reached a  
6 similar conclusion. See DOJ Evaluation, App. A, at 85-89. Again, it is  
7 simply premature to conclude that LENS is ready for commercial use by  
8 CLECs.

9  
10 **Q. WHAT IS THE STATUS OF THE ELECTRONIC INTERFACES**  
11 **REQUIRED UNDER AT&T'S INTERCONNECTION AGREEMENT?**

12 **A.** Most of the interim interfaces that AT&T will be using to enter the market as  
13 a reseller are in place. These interim interfaces, however, do not provide  
14 AT&T with nondiscriminatory access to BellSouth's OSS.

15  
16 With respect to the permanent electronic interfaces, BellSouth and AT&T are  
17 conducting joint planning meetings to develop project plans and joint  
18 implementation agreements. BellSouth and AT&T recently signed a Joint  
19 Implementation Agreement ("JIA") for Long Term Pre-ordering Interfaces.  
20 That JIA provides for the following eleven (11) steps of "external" joint  
21 testing to address interoperability between gateway-to-gateway and end-to-  
22 end systems. The first test (the OSI Stack Conformance testing) relating to  
23 the long-term pre-ordering interfaces between BellSouth and AT&T is  
24 scheduled to begin on July 15, 1997. The last test (the Beta Trial) is  
25 scheduled to begin on January 2, 1998.

- 1                   1. OSI Stack Conformance Testing (this test is internal to each
- 2                   company)
- 3                   2. Network-to-Network Testing
- 4                   3. Stack-to-Stack Testing
- 5                   4. EDI Testing
- 6                   5. Pre-Order Application Conformance Testing
- 7                   6. End-to-End Testing
- 8                   7. Soak and Load Testing
- 9                   8. End-to-End Testing
- 10                  9. Network Validation Testing
- 11                  10. Operational Readiness Testing
- 12                  11. Beta Trial

13

14                  Exhibit JB-5 depicts the relationship between these tests and the supplier's

15                  (BellSouth's) and customer's (AT&T's) gateways, operations support centers,

16                  and work centers, and the interconnecting network.

17

18                  The JIA test plan is associated with a highly sophisticated interface almost in

19                  complete conformance with the ultimate industry concept of being fully

20                  electronically bonded. Nevertheless, the principles of testing reflected in the

21                  JIA test plan are applicable to any interface between two companies from a

22                  manual telephone-based process to a fully electronically bonded process.

23                  Testing occurs from the inside out, from simple to complex, adding more

24                  pieces of the process with each step until both customer and supplier are

25                  satisfied that the interface meets their business needs and requirements.

1

2 A similar test plan was used for the EDI interface now being used by AT&T  
3 for Market Readiness Testing in Georgia. Market Readiness Testing is a  
4 form of Beta Trial. Service Readiness Testing also occurs within Beta Trials.  
5 AT&T expects that the interfaces required by the Interconnection Agreement,  
6 once fully implemented, will provide AT&T with nondiscriminatory access  
7 to BellSouth's OSS. Expectations, however, are not sufficient to  
8 demonstrate actual availability and operability of access to BellSouth's OSS.

9

10

### **INDIVIDUAL INTERFACES**

11

12 **Q. WOULD YOU DISCUSS THE DIFFERENT INTERFACES FOR**  
13 **EACH MAJOR OSS FUNCTIONAL AREA?**

14 A. Yes. I discuss below BellSouth's proposed interfaces for each of the major  
15 OSS functional areas (pre-ordering, ordering and provisioning, maintenance  
16 and repair, and billing). I also describe the specific reasons why BellSouth's  
17 proposed interfaces do not currently provide new entrants with  
18 nondiscriminatory access to BellSouth's OSS.

19

20

### **PRE-ORDERING INTERFACE**

21

22 **Q. WHAT IS PRE-ORDERING?**

23 A. The FCC Rules define "Pre-Ordering" and "Ordering" together. Under the  
24 FCC Rules, pre-ordering and ordering "includes the exchange of information  
25 between telecommunications carriers about current or proposed customer

1 products and services or unbundled elements or some combination thereof."  
2 47 C.F.R. § 51.5. In other words, pre-ordering is the exchange of information  
3 necessary to prepare an order, whereas ordering is the actual transmission of  
4 the order, along with attendant acknowledgments, notices, and status reports.  
5 Pre-ordering ordinarily takes place while the customer is on the telephone.  
6 Pre-ordering functions include: (1) determining the customer's existing  
7 services; (2) determining the services and features available to that customer;  
8 (3) validating the customer's address; (4) assigning a telephone number; and  
9 (5) scheduling appointments for required site visits and establishing due dates  
10 for the commencement of services.

11

12 **Q. IS "PRE-ORDERING INFORMATION" NECESSARY TO**  
13 **COMPETE FOR EXISTING CUSTOMERS?**

14 A. Yes. First, BellSouth requires a valid street address for every order, even if  
15 the customer is only switching service providers. New entrants, therefore,  
16 need access to BellSouth's OSS for address validation (the Regional Street  
17 Address Guide known as RSAG). Second, new entrants must be able to offer  
18 potential customers the ability to choose the services that each customer  
19 wants and needs. New entrants will not have a meaningful opportunity to  
20 compete with BellSouth for its existing customers if new entrants can only  
21 offer potential customers the ability to "switch as is" because the new entrant  
22 cannot perform critical pre-ordering functions. Third, new entrants need pre-  
23 ordering information for their records even if the customer only wants to  
24 switch service providers. Fourth, new entrants need to access pre-ordering  
25 information even after the CLEC has already obtained new customers, e.g., to

1 offer its new customers new features, services, and promotions. Finally, the  
2 Act requires BellSouth to provide new entrants with access to pre-ordering  
3 functions. BellSouth's obligations under the Act are not diminished by the  
4 possibility that some customers may only want to switch service providers.

5

6 **Q. DOES LENS PROVIDE A NEW ENTRANT WITH THE SAME PRE-**  
7 **ORDERING CAPABILITIES THAT BELLSOUTH PROVIDES**  
8 **ITSELF?**

9 A. No. LENS will not provide new entrants with nondiscriminatory access to  
10 BellSouth's OSS for pre-ordering functions. As explained above, there are  
11 significant gaps between a new entrant's pre-ordering capabilities using  
12 LENS and BellSouth's own pre-ordering capabilities with respect to the five  
13 characteristics of a nondiscriminatory interface.

14 ELECTRONIC -- As discussed above, LENS is a human-to-machine  
15 interface that does not allow electronic communication between BellSouth's  
16 OSS and a new entrant's OSS. One of the consequences of this defect is that  
17 new entrants have to record manually the pre-ordering information obtained  
18 from LENS in the Inquiry Mode for manual input into an EDI order. The  
19 LENS User Guide suggests that new entrants can print out the LENS screens  
20 to record the pre-ordering information. That creates many problems. First,  
21 service representatives typically do not have printers. New entrants would  
22 have to buy printers for each service representative to create that capability.  
23 Second, as we all know, printers experience problems relatively often -- the  
24 paper jams, it runs out of paper, etc. A new entrant would have to hold a  
25 customer on the line while the printing problem is fixed. Third, in the Inquiry



1 Mode, LENS does not "remember" information. Consequently, a new entrant  
2 would have to print out numerous screens rather than one summary screen.  
3 That is not practical. Finally, the new entrant still has to input the pre-  
4 ordering information manually into an EDI order. In other words, after going  
5 through the lengthy process of obtaining the information through LENS, the  
6 new entrant has to go through another lengthy process of sorting through the  
7 computer print-outs to re-input that information manually into an EDI order.  
8 Clearly, this duplicative and manual process does not meet the requirements  
9 of the Act.

10  
11 **FUNCTIONALITY** -- As discussed below, LENS does not provide new  
12 entrants with the same capabilities as BellSouth, nor does LENS provide new  
13 entrants with the capabilities necessary for new entrants to compete  
14 effectively. In fact, BellSouth has estimated that LENS will not be stable for  
15 six to nine months. In other words, LENS still must undergo numerous  
16 changes before LENS can provide the functionality that even BellSouth  
17 believes are appropriate. Discussed below are some of the deficiencies in  
18 LENS:

19 **General**

20 1. **LENS does not operate efficiently.** BellSouth did not  
21 design LENS with the new entrant in mind. It is my understanding  
22 that BellSouth did not even consult with new entrants when designing  
23 LENS. As a result, there are many instances where LENS does not  
24 operate efficiently. For example, LENS does not allow a new entrant  
25 to reach all fields by tabbing, which usually is the most efficient way

1 for a service representative to move from field to field. LENS also  
2 does not allow a new entrant to select address information from the  
3 drop-down dialog box, which is a feature that is available in AT&T's  
4 interim address validation interface, and presumably is available to  
5 BellSouth. These types of design defects makes LENS more  
6 cumbersome to use.

7 **Address Validation**

8 1. LENS requires new entrants to validate addresses  
9 repeatedly. -- In its Inquiry mode, LENS requires a new entrant to  
10 validate a customer's address repeatedly in order to perform various  
11 pre-ordering functions. LENS requires a new entrant to validate the  
12 address at the beginning of the every pre-ordering process except  
13 viewing customer service records. As a result, a new entrant must  
14 validate a customer's information four times during the pre-ordering  
15 process. That unnecessary repetition wastes time and invites errors.

16 2. LENS does not allow CLECs to assign house numbers for  
17 unnumbered addresses. Without that capability, a new entrant's  
18 service representative must contact BellSouth to perform the  
19 assignment function for the new entrant. That manual process will  
20 adversely affect the new entrant's ability to provide timely, accurate  
21 and inexpensive service to its customers.

22 3. LENS does not display the same type of information that is  
23 available to BellSouth's service representatives. For example, RNS  
24 displays driving instructions and a neighbor's phone number and DOE

1 provides the identification of the serving central office. LENS does  
2 not display this information.

### 3 Telephone Number Selection

4 1. LENS is unable to perform certain telephone number  
5 searches as advertised. -- BellSouth claims that LENS can perform  
6 nine kinds of telephone number searches: Random Numbers; Vanity  
7 Numbers; Easy Numbers; Ascending Line Digits (i.e., 1234, 2345,  
8 3456); Descending Line Digits (i.e., 9876, etc.); Identical Line Digits  
9 (i.e., 2222, etc.); Sequential Line Numbers (i.e., XXX1, XXX2,  
10 XXX3); Special Number Patterns; and Number Exclusions. Of those  
11 nine searches, LENS has not been able to accomplish <sup>with</sup> ~~five types of~~  
12 ~~searches (Ascending Line Digits, Descending Line Digits, Identical~~  
13 ~~Line Digits, Sequential Line Numbers, and Number Exclusions).~~  
14 "the Number Exclusion Search."

15 With respect to Special Number Patterns, LENS cannot perform this  
16 type of search unless the new entrant knows the NXXs available in  
17 the relevant central office, but LENS does not provide that  
18 information. ~~In sum, LENS appears capable of fully performing only~~  
19 ~~three types of number searches: random numbers, vanity numbers,~~  
20 ~~and easy numbers.~~

21 2. LENS does not provide new entrants with the same options  
22 as BellSouth for selecting telephone numbers. -- LENS does not allow  
23 new entrants to select the options of Ringmaster, Hunting and  
24 Specific NXX. BellSouth's service representatives have that  
capability.

1                   3. LENS does not provide equivalent access to telephone  
2 numbers. --LENS will limit new entrants to the lower of 100 reserved  
3 telephone numbers, or five percent of the available numbers for any  
4 given central office. BellSouth deems that a new entrant "reserves" a  
5 telephone number when the new entrant chooses a telephone number  
6 in the LENS Inquiry Mode for use in EDI or manual ordering. That  
7 telephone number is not transformed from "reserved" status to  
8 "selected" status until the service order with that telephone number is  
9 entered into BellSouth's Service Order Completion System ("SOCS").  
10 It could take minutes or days for a service order to be entered into  
11 SOCS. In contrast, BellSouth deems a telephone number to be  
12 "selected" instead of "reserved" when BellSouth itself chooses a  
13 telephone number or a new entrant chooses a telephone number in the  
14 LENS Firm Order Mode. As a practical matter, the 100 number limit  
15 will affect only large new entrants because the larger new entrants are  
16 more likely to submit EDI orders in quantities that could trigger the  
17 100 number limit. That discriminates against larger new entrants.

18                   The impact of this discrimination is real. During my  
19 evaluation of LENS, I attempted to choose a telephone number in a  
20 particular central office via the LENS Inquiry Mode. My attempt was  
21 unsuccessful. I made the same attempt in the Firm Order Mode and  
22 LENS presented a list of available numbers. In other words,  
23 telephone numbers that are available to BellSouth and new entrants  
24 using LENS in the Firm Order Mode are not available to new entrants  
25 that use the industry standard, EDI ordering interface. If BellSouth's

1 limitation of 100 telephone numbers per central office affects a new  
2 entrant now at minimal order volumes, imagine the adverse impact it  
3 will have when the new entrant starts placing hundreds or thousands  
4 of orders per day.

5 4. LENS does not provide new entrants with the same  
6 capability to reserve telephone numbers -- BellSouth can use its OSS  
7 to reserve more types of telephone numbers than a new entrant using  
8 LENS. For example, BellSouth can reserve up to 25 numbers using  
9 its OSS, but a new entrant using LENS cannot reserve more than six  
10 telephone numbers at a time. BellSouth also can use its OSS to  
11 reserve multi-line hunt group numbers, but new entrants cannot use  
12 LENS to reserve these numbers. Furthermore, a new entrant will  
13 incur charges for conducting searches whereas BellSouth will not  
14 incur charges for conducting the same searches. Specifically,  
15 BellSouth will impose search and assign charges on new entrants both  
16 when the new entrant itself conducts searches, and when BellSouth  
17 must conduct the search for a new entrant because LENS does not  
18 provide that search capability. Yet, BellSouth does not charge itself  
19 for such searches. While BellSouth may incur some minimal cost for  
20 conducting searches for a new entrant, that cost is not the same as the  
21 search and assign charge. BellSouth, moreover, does not incur any  
22 additional cost, but receives additional revenue, when a new entrant  
23 conducts its own search. That is discriminatory.

24  
25

**Products and Services**

1                   1. LENS does not allow new entrants to obtain Primary  
2 Interexchange Carrier ("PIC") information efficiently. -- LENS  
3 presents a random list of available long distance carriers, which may  
4 consist of over 300 carriers, with no search capability. A new entrant,  
5 therefore, may have to view over 30 screens (10 carriers per screen) in  
6 order to find the appropriate code for the long distance carrier the  
7 customer would like to select. Finding a single carrier in a list of over  
8 300 carriers can take a considerable amount of time and is prone to  
9 errors. At the very least, LENS should list the available long distance  
10 carriers alphabetically or provide a search capability.

11                   2. LENS does not provide complete products and services  
12 information. -- Like the PIC information, LENS does not present its  
13 lengthy list of products and services (typically over 100 items) in any  
14 particular order that would facilitate locating information about a  
15 specific product or service in a timely and accurate manner. LENS  
16 also does not list the services available to a particular customer when  
17 LENS is in the Firm Order Mode. Instead, LENS only identifies the  
18 products and services that can be ordered through LENS. For  
19 example, the LENS Inquiry Mode identified 114 products and  
20 services that were available in a particular central office, but identified  
21 only 8 products and services in its Firm Order Mode. Consequently,  
22 new entrants using LENS in the Firm Order Mode will not have an  
23 accurate list of the available products and services.

24                   LENS does not provide complete products and services  
25 information in the Inquiry Mode either. In addition to identifying a

1 particular product or service, new entrants need the capability to  
2 obtain additional information beyond whether the service is available  
3 for resale to place orders. LENS provides information (extended  
4 name, availability status, availability date, USOC, and tariff notes) for  
5 certain services. For other services like "ESSX" and "Multiserv," this  
6 information is not available. Interestingly, LENS was unable to  
7 retrieve product and service information for "ESSX" and "Multiserv"  
8 during LENS demonstrations on May 5 and May 13, 1997. After  
9 several minutes of waiting for the requested information, LENS had  
10 to be shut down and restarted. BellSouth Witness Calhoun previously  
11 testified that BellSouth had corrected this problem. It now appears  
12 that BellSouth's "solution" to this problem simply was not to provide  
13 product and service information for services like "ESSX" and  
14 "Multiserv."

15 3. LENS does not support certain products as a pre-ordering  
16 function. --BellSouth can select certain products (inside wiring and  
17 jacks) as pre-ordering elements in RNS, but LENS does not provide  
18 that functionality. Similarly, BellSouth can select certain business  
19 products (hunting) as a pre-ordering element in DOE, but LENS does  
20 not provide that functionality. LENS' lack of this product and  
21 services functionality adversely affects its capability to provide due  
22 date and appointment scheduling functionality when new entrants  
23 operate LENS in the inquiry mode.

24 4. LENS does allow new entrants to select more than one  
25 service or product at time. -- LENS requires that new entrants select

1 services and products individually rather than as a group. LENS does  
2 not allow a new entrant to highlight several products and services for  
3 selection at one time. As a result, a new entrant must repeat the  
4 selection process for each individual product and service. Multiple  
5 selections cause delays and increase the chance that a new entrant  
6 may duplicate or omit a selection.

7

8 **Direct Order Entry Support Applications Program ("DSAP")**

9 1. LENS does not provide access to calculated due dates in  
10 the inquiry mode.-- BellSouth service representatives can ascertain the  
11 earliest available due date by using DSAP, which applies an algorithm  
12 to a number of variable inputs (including the number of lines, type of  
13 service, work load, and availability of network facilities) in order to  
14 calculate the due date. If the earliest available due date does not meet  
15 the customer's needs, the BellSouth service representative can use  
16 DSAP to ascertain alternative dates. Once the customer accepts a  
17 proposed due date, the BellSouth service representative can reserve  
18 that due date using BellSouth's Service Order Completion System  
19 ("SOCS"). New entrants' service representatives, on the other hand,  
20 do not have access to <sup>the essential capability of</sup> DSAP when using LENS for pre-ordering and  
21 EDI for ordering, which BellSouth projects will account for 80  
22 percent of all service orders. Instead, LENS provides new entrants  
23 with a table of projected service intervals for the applicable central  
24 office instead of the earliest available due date calculated by DSAP.  
25 That is discriminatory.



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

*the essential capability of'*

The new entrant's inability to access <sup>DSAP</sup> when using LENS for pre-ordering will have a significant effect on customers. First, the new entrant's customers may receive a later due date or appointment than a similarly situated BellSouth customer because the new entrant does not have <sup>equal</sup> access to DSAP during pre-ordering. Second, the entrant's customers likely will experience a higher percentage of due date and appointment rescheduling than a similarly situated BellSouth customer. The reason for that is the new entrant does not know until hours after submitting an order whether the due dates and appointments provided to customers are actually available. If the due date or appointment is not available, the new entrant must contact the customer and go through the scheduling process again when the date or appointment selected by the BellSouth's SOCS does not meet the customers' requirements.

2. LENS does not provide due dates or appointment intervals for network elements. --BellSouth has not provided due date or appointment intervals for network elements. A new entrant cannot provide its customers with accurate due dates and appointments for orders involving network elements without such intervals.

3. LENS does not allow new entrants to schedule appointments windows in specified four hour blocks. --LENS only allows new entrants to specify AM or PM appointments. BellSouth can offer its customers any four hour block, e.g., 10 A.M. to 2 P.M.

1           **DOCUMENTED** -- BellSouth has not adequately documented the LENS  
2 interface. Specifically, BellSouth has not provided the technical  
3 specifications necessary for new entrants to develop or modify their own  
4 internal OSSs to be able to communicate electronically with LENS. The  
5 LENS design, moreover, is not yet stable, and will not be stable for at least 6  
6 to 9 months. Even if BellSouth were to provide technical specifications,  
7 however, those specifications would quickly become obsolete because of the  
8 continuing design changes. As a result, it would not be practical for new  
9 entrants to develop or modify their internal systems until LENS is stable.  
10 Even then, BellSouth does not have any change control processes in place  
11 that would: (a) manage design changes effectively and efficiently from the  
12 collective viewpoints of BellSouth and new entrants; and (b) communicate  
13 the design changes sufficiently in advance to provide new entrants with a  
14 meaningful opportunity to adjust their systems. Currently, new entrants have  
15 little if any involvement in the change process.

16  
17 Another area where LENS documentation is deficient is in the area of  
18 training. BellSouth proposes to provide representatives from each new  
19 entrant with two or three days of training, and then those representatives  
20 would train the new entrants' employees. In contrast, BellSouth provides  
21 weeks of training to its service representatives.

22  
23           **CAPACITY** -- BellSouth claims that LENS has the capacity to process  
24 1000-1200 orders per day, and multiple pre-ordering transactions associated  
25 with 5000 orders per day (1000 LENS and 4000 EDI orders) for the nine state

1 BellSouth region. BellSouth has not provided any data to demonstrate that  
2 LENS has adequate capacity to handle the combined market volumes for all  
3 new entrants. Without information regarding how BellSouth tested the  
4 capacity of LENS and the data resulting from that testing, the Commission  
5 cannot be sure that LENS has the requisite capacity.

6  
7 **STANDARDS** -- As discussed above, LENS is a proprietary system that  
8 does not comply with any industry standards. EDI has been endorsed as the  
9 data element structure for the pre-ordering industry standard. That only  
10 makes sense because EDI is the industry standard for ordering, and service  
11 orders are populated with pre-ordering information. BellSouth, however,  
12 proposes to use a pre-ordering interface (LENS) that is not compatible with  
13 the industry standard EDI ordering interface, even though BellSouth projects  
14 that 80 percent of all service orders will flow over the EDI interface. That  
15 makes no sense, unless BellSouth is trying to make it difficult for new  
16 entrants to place service orders.

17  
18 **Q. WHAT KIND OF ELECTRONIC INTERFACES FOR PRE-**  
19 **ORDERING HAS BELLSOUTH AGREED TO PROVIDE UNDER ITS**  
20 **INTERCONNECTION AGREEMENT WITH AT&T?**

21 **A** BellSouth has agreed to provide interim interfaces until the permanent  
22 electronic interfaces are operational. Provided below is a brief description of  
23 the required interim interfaces and permanent electronic interfaces.

24

25 **Interim Pre-Ordering Interfaces**

- 1 a. Address Validation -- BellSouth provides on-line, LAN-to-  
2 LAN connectivity to BellSouth's Regional Street Address Guide  
3 ("RSAG").
- 4 b. Service Feature Availability -- BellSouth provides AT&T a  
5 copy of its Products/Services Inventory Management System  
6 ("P/SIMS") files via a batch mode transmission.
- 7 c. Telephone Number Assignment -- Upon AT&T's request,  
8 BellSouth provides AT&T with a file consisting of a block of 100  
9 reserved telephone numbers via a batch mode transmission.
- 10 d. Appointment Scheduling -- BellSouth provides AT&T with  
11 paper standard interval guidelines for use in scheduling appointments  
12 for the installation of resold services.
- 13 e. Customer Service Record ("CSR") Requests -- BellSouth  
14 provides CSRs after receiving customer consent via three way call  
15 (customer, AT&T and BellSouth), or facsimile of the customer's  
16 Letter of Agency.

17

### 18 **Permanent Pre-Ordering Interfaces**

19 The Interconnection Agreement provides for a single transaction-  
20 based, electronic communications interface that is capable of  
21 performing a full range of pre-ordering functions for both resold  
22 services and network elements. When the permanent interfaces are in  
23 place, AT&T would be able to populate its service order and other  
24 records with the pre-ordering information obtained via the permanent  
25 electronic interface.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**Q. WILL THE INTERIM INTERFACES UNDER THE INTERCONNECTION AGREEMENT PROVIDE AT&T OR ANY OTHER NEW ENTRANT WITH THE SAME PRE-ORDERING CAPABILITIES THAT BELL SOUTH PROVIDES ITSELF?**

A. No. The interim pre-ordering interfaces have many deficiencies and, as a result, do not provide for nondiscriminatory access to BellSouth's OSS for pre-ordering. For example:

**Telephone Number Assignment** -- Because the interim interface limits AT&T to a defined block of 100 telephone numbers, AT&T cannot satisfy its customers' requests for special numbers (e.g., contiguous blocks of numbers, vanity numbers, easy numbers, etc.) without the manual intervention of BellSouth service representatives. The interim interface also requires AT&T to create and maintain a "shadow" telephone number inventory system to keep track of the available telephone numbers for each central office for the purposes of assigning telephone numbers and replenishing AT&T's inventory. In contrast, a BellSouth representative can access all available telephone numbers without manual intervention, and its OSS automatically maintains an inventory of telephone numbers. That is discriminatory, does not offer entrants substantially the same time and manner of access as BellSouth, and therefore does not comply with Section 251 of the Act.

1           **Appointment Scheduling** -- The interim interface simply is a  
2 document that lists standard estimated intervals for performing a  
3 particular task. The interim interface, therefore, may project an  
4 appointment that: (1) is not actually available; or (2) is not the first  
5 available appointment. The interim interface, moreover, does not  
6 allow AT&T to reserve an appointment when AT&T is taking the  
7 customer's order. Instead, AT&T must send the order with a  
8 projected appointment to BellSouth and wait until BellSouth sends  
9 AT&T a Firm Order Confirmation ("FOC"). If the FOC indicates that  
10 the projected appointment is not available, AT&T must contact the  
11 customer and start the process again (i.e., send BellSouth a  
12 supplemental order with a new projected appointment, wait for a  
13 FOC, and repeat the process if the new projected appointment is not  
14 available). BellSouth, on the other hand, can determine what  
15 appointments are actually available, and reserve that appointment with  
16 the customer on the line. That is discriminatory.

17  
18           **Customer Service Records** -- The interim interface does not provide  
19 AT&T direct access to CSRs, when such access is authorized by the  
20 customer. AT&T, therefore, must use cumbersome manual processes  
21 that take more time and resources than the electronic access that  
22 BellSouth provides itself. That is discriminatory.

23  
24   **Q.     WILL THE PERMANENT ELECTRONIC INTERFACES PROVIDE**  
25   **AT&T OR ANY OTHER NEW ENTRANT WITH THE SAME PRE-**

1           **ORDERING CAPABILITIES THAT BELL SOUTH PROVIDES**  
2           **ITSELF?**

3       A.     Hopefully, but it is premature to make that conclusion. Only after BellSouth  
4           and AT&T jointly test the permanent electronic interfaces as required by the  
5           Interconnection Agreement, and compare the performance of those interfaces  
6           with the internal performance of BellSouth's OSS (i.e., without interfaces),  
7           will empirical data demonstrate whether BellSouth is providing AT&T with  
8           nondiscriminatory access to BellSouth's OSS for pre-ordering functions.  
9           BellSouth, however, has indicated that it may not provide AT&T with certain  
10          capabilities. For example, BellSouth has indicated that it does not intend to  
11          provide full access to DSAP (Direct Order Entry Support Applications  
12          Program) , and intends to apply the telephone number reservation restrictions  
13          previously discussed. Nondiscriminatory access to OSS functions cannot  
14          exist if BellSouth continues down its stated path.

15

16                           **ORDERING & PROVISIONING**

17

18       **Q.     WHAT IS ORDERING AND PROVISIONING?**

19       A.     Ordering is the process of placing a request into the incumbent LEC's OSS  
20           for a set of products and services or unbundled network elements or  
21           combination thereof. After processing an order, the incumbent LEC will  
22           begin the provisioning process.

23

24           The FCC Rules state that provisioning "involves the exchange of information  
25           between telecommunications carriers where one executes a request for a set

1 of products and services or unbundled network elements or combination  
2 thereof from the other with the attendant acknowledgments and status  
3 reports." 4 C.F.R. § 51.5. In other words, provisioning is the process of  
4 implementing the order for telecommunications service. The attendant  
5 acknowledgments and status reports associated with provisioning include  
6 initial order verification, firm order confirmation, the monitoring of service  
7 order status, the reporting of service order jeopardies, and notification of  
8 order completion.

9

10

11 **Q. DOES THE DRAFT SGAT ADDRESS ELECTRONIC INTERFACES**  
12 **FOR ORDERING?**

13 A. Yes, in a limited fashion. The Draft SGAT states:

14 BellSouth provides CLECs electronic options for the  
15 exchange of ordering and provisioning information.  
16 The Exchange Access Control and Tracking System  
17 (EXACT) is for service requests involving  
18 interconnection trunking and many unbundled network  
19 elements. BellSouth provides an Electronic Data  
20 Interchange (EDI) arrangement for resale requests and  
21 some unbundled network elements. As an alternative  
22 to the EDI arrangement, BellSouth also provides  
23 through LENS an ordering and provisioning capability  
24 that is integrated with the LENS pre-ordering  
25 capability.



1 Draft SGAT at 8. In other words, the Draft SGAT does not provide for  
2 electronic interfaces that would satisfy the Act.

3

4 **Q. WILL LENS PROVIDE A NEW ENTRANT WITH**  
5 **NONDISCRIMINATORY ACCESS TO ORDERING AND**  
6 **PROVISIONING FUNCTIONS?**

7 A. No. BellSouth has estimated that LENS will not be stable for six to nine  
8 months. In other words, LENS still must undergo numerous changes before  
9 LENS can provide the functionality that even BellSouth believes is  
10 appropriate. Discussed below are some of the reasons why LENS does not  
11 meet the criteria of a nondiscriminatory interface:

12

13 **ELECTRONIC** -- As discussed above, LENS is a human-to-machine  
14 interface that does not allow electronic communication between  
15 BellSouth's OSS and a new entrant's OSS. Consequently, when a new  
16 entrant submits an order via LENS, that order must be manually  
17 entered into the new entrant's own internal OSS. Further, LENS  
18 cannot process electronically orders even for the so-called "simple"  
19 network elements that LENS purportedly supports. Although  
20 BellSouth has suggested that new entrants can order "simple" network  
21 elements through LENS using the "remarks" section, the remarks  
22 sections are unformatted and information contained therein must be  
23 processed manually by BellSouth. This is not electronic ordering.

24

1           **FUNCTIONALITY** -- LENS does not provide new entrants with the  
2 same capabilities as BellSouth, nor does LENS provide new entrants  
3 with the capabilities necessary for new entrants to compete  
4 effectively. For example:

5  
6           1. **LENS Does Not Have The Capability To Perform Many**  
7 **Ordering Activities.** As reflected in Exhibit JB-6, LENS does not  
8 perform many of the ordering activities that are standard in the  
9 industry and which BellSouth performs for itself, such as ordering  
10 suspension or restoration of service, changes or modifications to  
11 existing services, or inside or outside moves.  
12 New entrants that order services through LENS will have to fax  
13 service orders for those activities which LENS is not capable of  
14 performing. For example, a new entrant will have to fax a service  
15 order to BellSouth if the new entrant's customer wants to add a new  
16 feature like call waiting or change their directory listing. Similarly, a  
17 new entrant has to fax an order to suspend and restore service for  
18 seasonal businesses. These are just two of the many situations where  
19 LENS cannot provide nondiscriminatory access to BellSouth's OSS  
20 functions.

21  
22           2. **LENS Does Not Support Most of the Industry-Standard**  
23 **Requisition Types.** Industry groups have identified ten requisition  
24 types to identify the kinds of products and services a new entrant can

1 order. As depicted in Exhibit JB-7 LENS supports only one of the ten  
2 industry standard requisition types.

3

4 Because LENS does not have the capability to support most types of  
5 requisitions, service orders for these types of requisitions will not be  
6 processed electronically.

7

8 3. LENS Does Not Have the Ordering Capability To Support  
9 Many Resale Services. LENS does not have capability that would  
10 allow new entrants to order all of the services that are available for  
11 resale. In one particular central office, for example, LENS allows a  
12 new entrant to order only eight services for resale: POTS, Touchstar,  
13 Touchtone, Customized Call Restriction, Memory Call Enhanced,  
14 Remote Call Forwarding, Custom Calling, and Ringmaster. In the  
15 Inquiry Mode, however, LENS reveals that there actually are one  
16 hundred fourteen (114) different services that are available at that  
17 central office. BellSouth has the capability to submit electronic  
18 orders for all of those 114 services, while new entrants may only order  
19 eight. LENS cannot be considered nondiscriminatory if it enables  
20 new entrant to order electronically only eight types of resale services  
21 while BellSouth can order electronically 114 types of services in its  
22 retail operations. Provided in Exhibit JB-8 is a table of the 114 types  
23 of services. Services that can be ordered through LENS (and  
24 therefore are the only services that are listed as available in the Firm  
25 Order Mode of LENS) are bolded and underlined:

1                   4. New Entrants Cannot Perform Equivalent Provisioning

2                   Functions through LENS.   LENS will not provide new entrants with  
3                   the capability to receive detailed firm order confirmation ("FOC") or  
4                   Completion Notices ("CN") that are comparable to the information to  
5                   which BellSouth has easy access.   While LENS will show that a new  
6                   entrant ordered something, it will not tell the new entrant what was  
7                   actually ordered.   Once the order has been entered into BellSouth's  
8                   LENS, it literally disappears.   A new entrant, therefore, cannot pull  
9                   up the order record as can BellSouth, to determine the status of the  
10                  order.   LENS will allow a new entrant to view the status of an order  
11                  (like "Order Rejected for Error"), but cannot view the order itself, as  
12                  can BellSouth.   A new entrant, moreover, cannot cancel or change an  
13                  order that has been passed to BellSouth's Local Carrier Service Center  
14                  ("LCSC") for manual processing or an order that has been rejected for  
15                  error.   In short, the provisioning functionality of LENS has little if any  
16                  practical usefulness.   Not only must new entrants incur the time and  
17                  expense of entering duplicate records of orders placed on LENS, but  
18                  those records – because they will be on the entrants' own systems –  
19                  cannot provide the functionality of records available to BellSouth.

20  
21                   5. LENS Does Not Have The Capability To Order Most

22                  Directory Listing Options.   As reflected in Exhibit JB-9 LENS, does  
23                  not provide new entrants the capability to order most of the directory  
24                  listing options that BellSouth can order electronically.

1 A new entrant using LENS to submit orders would have to fax  
2 BellSouth an order for most directory listing options, assuming that  
3 the new entrant even knew that these options were available. In  
4 contrast, BellSouth can submit orders for these options electronically.  
5 Clearly, this disparity will cause additional expense and delay to the  
6 new entrant, and does not allow new entrants to serve their customers  
7 in substantially the same time and manner as BellSouth.

8

9 **DOCUMENTED** -- As discussed above in the pre-ordering section,  
10 BellSouth has not adequately documented the LENS interface.

11

12 The Draft SGAT similarly defines ordering and provisioning, stating  
13 that "Service ordering provides the CLEC order entry functions,  
14 including supplements, and the capability to establish directory  
15 listings." Draft SGAT at 6. The Draft SGAT also states that  
16 "Provisioning information available to CLECs include firm order  
17 confirmation and completions." Draft SGAT at 7.

18

19 **CAPACITY** -- As discussed above, LENS does not have adequate  
20 capacity to handle the combined market volumes for all new entrants.  
21 The LENS server apparently has a capacity of 1200 transactions per  
22 day.

23

24 **STANDARDS** -- The industry standard for ordering is EDI. LENS  
25 does not comply with that standard.

1 **Q. HOW DO THE DEFICIENCIES IN LENS AFFECT A NEW**  
2 **ENTRANT AND ITS CUSTOMERS?**

3 A. A new entrant must use manual processes to submit orders and receive  
4 provisioning information for those services and other products that cannot be  
5 ordered via LENS. In addition, new entrants must use manual processes to  
6 input LENS information from LENS into the new entrants' OSS because  
7 LENS, as previously discussed, is a human-to-machine interface. Manual  
8 processes are more expensive, slower, and more prone to errors, all of which  
9 adversely affect the new entrant's ability to provide its customers with service  
10 at the same level of quality service that BellSouth can provide its customers.  
11 This is not merely an academic issue – new entrants must compensate for  
12 lack of electronic ordering parity by adding more manual processes, which  
13 take additional time, cost more money, and inconvenience customers.  
14 BellSouth is not similarly handicapped. In short, LENS does not provide a  
15 new entrant with nondiscriminatory access to BellSouth's OSS or a  
16 meaningful opportunity to compete.

17  
18 **Q. DOES THE EDI INTERFACE PROVIDE NEW ENTRANTS WITH**  
19 **NONDISCRIMINATORY ACCESS TO BELLSOUTH'S OSS FOR**  
20 **ORDERING AND PROVISIONING FUNCTIONS?**

21 A. No, it does not. BellSouth's EDI ordering interface does not meet the criteria  
22 of a nondiscriminatory interface:

23

24 **ELECTRONIC** -- BellSouth's EDI Ordering interface most likely  
25 will involve manual intervention by both the new entrant and

1           BellSouth. The EDI ordering interface requires additional human  
2           intervention on the part of new entrants because it is not integrated  
3           with an electronic interface for pre-ordering functions. New entrants,  
4           therefore, must manually input pre-ordering information into the EDI  
5           service order. In contrast, BellSouth's OSS for ordering is integrated  
6           with its OSS for pre-ordering, which allows BellSouth to populate its  
7           service records electronically with pre-ordering information.

8  
9           BellSouth's EDI ordering interface also may require additional human  
10          intervention by BellSouth. BellSouth claims that its Local Exchange  
11          Service Order Generation ("LESOG") is operational and will allow  
12          BellSouth to process EDI orders without manual intervention (i.e.,  
13          without the BellSouth service representative manually inputting the  
14          EDI service order into BellSouth's OSS). BellSouth, however, has  
15          refused to provide AT&T with any data about the number of AT&T  
16          EDI orders that LESOG has processed electronically . If new entrants  
17          must use interfaces that require manual intervention where BellSouth  
18          provides itself electronic access to its OSS ordering and provisioning  
19          functions, BellSouth is not providing new entrants with  
20          nondiscriminatory access to BellSouth's OSS. Again, this issue is not  
21          merely academic. The addition of manual processes means that new  
22          entrants' orders cannot be completed as promptly as BellSouth's  
23          orders.

24

1           **FUNCTIONALITY** -- Only the Phase I version of BellSouth's EDI  
2 interface is actually being used. Since December 1996, BellSouth has  
3 issued four versions of its Local Exchange Ordering Implementation  
4 Guide describing the Phase II EDI interfaces. BellSouth has indicated  
5 that a fifth version is in progress to address errors in the fourth  
6 version. Put simply, new entrants cannot yet use BellSouth's Phase II  
7 EDI interface. Described below are some of the functional  
8 deficiencies of BellSouth's EDI interface:

9

10           **Scope of Capabilities** -- BellSouth's Phase I EDI interface  
11 allows a new entrant to submit, modify and cancel orders for  
12 certain resold services, and to receive inferior types of Firm  
13 Order Confirmations (FOCs), Completion Notices (CNs) and  
14 functional acknowledgments. A new entrant, however, cannot  
15 receive all types of notices through EDI that BellSouth itself  
16 receives electronically. For example, BellSouth will send  
17 error notices, reject notices, jeopardy notices, and status  
18 reports to new entrants via facsimile or telephone. The new  
19 entrant then must manually input these notices and reports into  
20 its OSS before the new entrant can respond to the notices, thus  
21 increasing its costs and delays. Furthermore, FOCs and CNs  
22 that BellSouth provides via EDI are inferior to those generated  
23 for BellSouth. New entrants will receive only notice of  
24 confirmation or completion, but BellSouth's internal functional  
25 equivalents to FOCs and CNs are detailed in that they identify



1 what was ordered or what was installed. New entrants must  
2 engage in manual follow-up to obtain this information. That  
3 is discriminatory.

4  
5 **Breadth of Capabilities** -- BellSouth's EDI interface supports  
6 POTS and vertical services for residential and business  
7 customers, PBX trunks, and Direct Inward Dialing trunks. A  
8 new entrant, however, cannot order all of the services through  
9 EDI that BellSouth now orders electronically to support its  
10 retail operations. For example, a new entrant cannot use EDI  
11 to order private line services, Centrex-like services, ISDN  
12 services, or complex business services of any sort. New  
13 entrants, moreover, cannot order network elements via the EDI  
14 interface. That is discriminatory.

15  
16 **Real-Time or Near Real-Time Capability** -- BellSouth's  
17 Ordering Guides provide that new entrants can reach  
18 BellSouth's EDI interface by sending messages through one of  
19 three delivery methods: (1) one or more Value Added Network  
20 ("VAN") providers; (2) dial up port; or (3) private line  
21 connection using Direct:Connect software. All three delivery  
22 methods involve a batch process, which means that BellSouth  
23 cannot process a new entrant's EDI order for up to 30 minutes  
24 after the new entrant transmitted its EDI order to BellSouth.  
25 Once more, this disparity increases costs and delays in the new

1 entrant's ordering process. In its Interconnection Agreement  
2 with AT&T, BellSouth agreed to provide a different delivery  
3 method (a dedicated T1 private line facility using TCP/IP  
4 software) that reduces the delivery time sufficiently to be  
5 considered "near real-time." They have not delivered such a  
6 method at this time. Without this faster delivery method  
7 (which uses off-the-shelf standards-based solutions),  
8 BellSouth's EDI interface cannot provide new entrants with  
9 nondiscriminatory access to BellSouth's OSS.

10

11 **Q. HOW DO THE DEFICIENCIES OF THE EDI INTERFACE AFFECT**  
12 **A NEW ENTRANT AND ITS CUSTOMERS?**

13 A. Because of the deficiencies of BellSouth's EDI interface, a new entrant will  
14 have to use manual processes to perform certain ordering and provisioning  
15 functions for its customers where BellSouth can use faster and less expensive  
16 electronic processes to perform the same functions for similarly situated  
17 BellSouth customers. A new entrant, for example, must use manual  
18 processes to submit orders and obtain provisioning information for many  
19 services (including most private line services, Centrex-like services, ISDN  
20 services and complex business services). BellSouth can order such services  
21 electronically. A new entrant also must use manual processes to perform  
22 certain functions and receive certain information for all services that the EDI  
23 interface cannot perform (such as error, reject and jeopardy notices, or  
24 providing detailed FOCs and CNs). BellSouth performs these functions for  
25 itself electronically. Furthermore, a new entrant must manually input

1 information obtained via BellSouth's pre-ordering interfaces into the EDI  
2 order. BellSouth can electronically input pre-ordering information into its  
3 own orders. These manual processes do not provide nondiscriminatory  
4 access to BellSouth's OSS because the manual processes are more expensive,  
5 slower, and more prone to errors than the electronic processes that BellSouth  
6 provides for itself. In addition, BellSouth begins to process its own orders  
7 immediately upon transmission, but a new entrant's order may wait up to 30  
8 minutes after transmission before BellSouth begins to process the new  
9 entrant's EDI order. All of these deficiencies will adversely affect a new  
10 entrant's ability to provide its customers with the requested services in a  
11 timely and cost effective manner that is at parity with BellSouth.

12

13 **Q. WHAT ORDERING AND PROVISIONING INTERFACES HAS**  
14 **BELLSOUTH AGREED TO PROVIDE AT&T UNDER THE**  
15 **INTERCONNECTION AGREEMENT?**

16 A. BellSouth has agreed to use its best efforts to provide AT&T with permanent  
17 interfaces for ordering and provisioning by December 31, 1997. Until the  
18 permanent interfaces are operational, BellSouth has agreed to provide interim  
19 EDI interfaces and the Access Service Request ("ASR") process using  
20 EXACT. These interim interfaces and processes do not allow AT&T to serve  
21 customers in substantially the same time and manner as does BellSouth, as  
22 shown below.

23

24 **Interim EDI Interfaces** -- The interim EDI interfaces include a Phase  
25 I and a Phase II. Phase I provides AT&T with the EDI capability to

1 order business and residential POTS (including vertical features),  
2 PBX trunks and DID trunks. Under Phase I, BellSouth and AT&T  
3 will use a Value-Added Network to transmit EDI transactions.  
4 Phase II, once fully implemented, would provide AT&T the EDI  
5 capability to order all services available for resale under BellSouth's  
6 General Subscriber Tariff and Private Line Tariff, and some customer  
7 specific network elements. Under Phase II, BellSouth and AT&T will  
8 transmit EDI transactions via a dedicated T1 private line facility using  
9 TCP/IP software. As shown below, the Phase I interim interface is  
10 not yet fully implemented.

11 **Interim ASR Process** -- AT&T will use the interim ASR process to  
12 order certain network elements via EXACT. The interim ASR  
13 process involves the same process that interexchange carriers  
14 currently use in the access world. In addition, AT&T will use manual  
15 work-arounds to supplement the ASR process where necessary.  
16 BellSouth and AT&T are currently identifying and negotiating the  
17 need for manual work-arounds.

18  
19 **Permanent Interfaces**-- For resale and customer-specific network  
20 elements (e.g., loops, ports, local number portability, etc.), BellSouth  
21 has agreed to provide AT&T a permanent EDI interface that contains  
22 enhancements over the Phase I and Phase II interim EDI interfaces.  
23 For the remaining network elements, BellSouth has agreed to provide  
24 AT&T a permanent interface that contains enhancements over the  
25 existing ASR process. BellSouth also has agreed to adapt the

1 permanent EDI and ASR process to comply with standards adopted  
2 by appropriate industry groups within seven months after adoption of  
3 such standards. These permanent interfaces are not expected to be in  
4 place before year-end 1997.

5

6 **Q. WHAT IS THE CURRENT STATUS OF THE INTERIM EDI**  
7 **INTERFACES?**

8 A. PHASE I is not yet fully implemented. BellSouth and AT&T currently are  
9 conducting joint testing of the region-wide Phase I EDI interface in Georgia.  
10 The testing program consists of three sequential tests: (1) end-to-end testing;  
11 (2) service readiness testing; and (3) market readiness testing. BellSouth and  
12 AT&T have completed end-to-end testing for both resold business and  
13 residential services. End-to-end testing involves transmitting and receiving  
14 an EDI order, but the testing stops before BellSouth provisions the order.

15

16 BellSouth and AT&T have been involved in Service Readiness Testing  
17 ("SRT") in Georgia for both resold business and residential services. SRT  
18 involves sending an order through the entire system, but AT&T does not bill  
19 the end users. In other words, AT&T places the order, BellSouth actually  
20 provisions the order, and sends AT&T a bill. SRT takes place in a controlled  
21 environment. Selected AT&T employees use a script to place an order, and  
22 only eight residential orders and eight business orders can be "in the system"  
23 at any given time. AT&T has completed SRT for residential services in  
24 Georgia.

25

1           During the first week of May 1997, BellSouth and AT&T entered Market  
2           Readiness Testing ("MRT") in Georgia. MRT is similar to SRT, but on a  
3           larger scale and involves AT&T billing the end user. Instead of just 100  
4           residential and 100 business customers, MRT is open to all AT&T employees  
5           and selected business customers. AT&T's tariff for residential services in  
6           Georgia became effective on June 24, 1997.

7  
8           Since the EDI Interface serves the entire BellSouth territory, the cycle of  
9           testing to support market entry in Florida does not need to be as extensive as  
10          the initial entry testing in Georgia. This is true because the underlying  
11          technology is identical, and only situations unique to the Florida market will  
12          need to be tested. Testing to support market entry in Florida is not yet  
13          underway.

14  
15          **PHASE II** -- BellSouth has reported to the Georgia PSC that its Phase II EDI  
16          interface (which BellSouth developed unilaterally) was "ready" on December  
17          15, 1996. BellSouth's Phase II EDI interface, however, does not provide EDI  
18          capability to order all services available for resale under BellSouth's General  
19          Subscriber Tariff and Private Line Tariff, and a dedicated T1 private line  
20          facility using TCP/IP software is not in place. Since December 15, 1996,  
21          moreover, BellSouth has issued three different implementation guides that  
22          have significantly changed its "ready" Phase II EDI interface, including  
23          significant changes in basic coding philosophy. BellSouth has informed me  
24          and I have seen draft pages of a fourth implementation guide scheduled for  
25          release in the immediate future to align with the latest standards. As I have

1 said before, new entrants cannot hit a moving target. Even assuming that the  
2 Phase II EDI interface was somehow "ready," it likely will be several months  
3 before any new entrant can complete the necessary steps to be able to use  
4 BellSouth's unilaterally developed Phase II EDI interface. AT&T does not  
5 expect to be able to test the Phase II EDI interface with BellSouth until late in  
6 the third quarter of 1997. Thus, while several carriers (including AT&T,  
7 Sprint, Cellular Holding, National Telecommunications of Florida, and  
8 DeltaCom) have expressed interest in the Phase II EDI interface, no carriers  
9 are in the position to conduct the necessary testing or use that interface. If no  
10 one can use the Phase II EDI interface, it is not yet "ready."

11

12 **Q. WHAT ARE THE PRELIMINARY TESTING RESULTS FOR THE**  
13 **PHASE I EDI INTERFACE?**

14 A. So far, the SRT generally has succeeded in identifying "bugs" in the system.  
15 Integrating BellSouth's and AT&T's ordering systems and procedures has  
16 been a difficult task. If AT&T had tried to enter the market without testing, it  
17 would have been a disaster. The "bugs" would have caused poor customer  
18 service, which in turn would have severely damaged the AT&T brand and its  
19 market image. I expect that BellSouth and AT&T will continue to work  
20 together to resolve problem areas as they arise. That is the purpose of testing.  
21 Until testing is complete, however, the Phase I EDI interface is not ready for  
22 full-scale market entry.

23

24 During testing AT&T discovered that BellSouth had not correctly  
25 implemented an agreed field for directory listings. BellSouth maintains they

1 never agreed to the field size in question. Manual work arounds will be  
2 implemented to allow multiple listing types to be processed. These work  
3 arounds will restrict AT&T's ability to serve its customers.  
4

5 **Q. AT THE PRESENT, DO BELLSOUTH'S OPERATIONS SUPPORT**  
6 **SYSTEMS ALLOW NEW ENTRANTS TO PERFORM**  
7 **PREORDERING AND ORDERING IN SUBSTANTIALLY THE**  
8 **SAME TIME AND MANNER AS BELLSOUTH?**

9 No. Attached to my testimony are two exhibits (Exhibits JB-10, JB-11) that  
10 contain performance data from AT&T's SRT/MRT with BellSouth in Georgia  
11 and a comparative analysis of that performance. Collectively, these exhibits  
12 demonstrate that BellSouth's performance as a supplier of local resold  
13 services has been inconsistent and has not achieved the initial targets  
14 contained in AT&T's interconnection agreement with BellSouth. There's no  
15 reason to expect better performance in Florida. Without data regarding  
16 BellSouth's internal performance, AT&T cannot determine how BellSouth's  
17 performance as a retailer compares with its performance as a wholesaler. All  
18 indications, however, suggest that BellSouth's wholesale performance is  
19 inferior to its retail performance, and thus it does not provide new entrants  
20 with the ability to compete effectively.  
21

22 **Q. PLEASE DESCRIBE THE EXHIBITS.**

23 Exhibit **JB-10** is a set of data currently under development to depict the  
24 provisioning performance of BellSouth from the perspective of AT&T's  
25 customer on a weekly basis from March 17, 1997, to the present. These nine



1 charts depict Volumes, Firm Order Confirmation Receipt, Firm Order  
2 Confirmation Receipt by Interval, Completion Notice Receipt, Completion  
3 Notice Receipt by Interval, New Order Completions, Migration Order  
4 Completions, Completion Intervals, and Back Log **JB - 10** will be updated at  
5 or before the hearing with most current set of charts existing at that time  
6 reflecting performance across a broader range of measures and current to that  
7 point in time. This exhibit shows that from the perspective of AT&T,  
8 BellSouth is not meeting its commitment to return FOCs within 24 hours  
9 (Page 3) or its commitment to return CNS within 1 day (Page 5). From the  
10 perspective of AT&T's end-user, BellSouth is not completing new  
11 installations on the requested due date (Page 7) or migration orders on the  
12 requested due date (Page 8).

13  
14 Exhibit **JB - 11** is a set of ten charts comparing BellSouth's current  
15 month and year-to-date performance in provisioning and maintenance to their  
16 peers and the national composite. Exhibit **JB - 11** also will be updated at or  
17 before the hearing. This exhibit shows that BellSouth is unable to meet its  
18 own committed due dates for consumer and business work orders. For  
19 example, Page 1 shows that BellSouth completed only 49% of work orders  
20 on time, and Page 2 shows that only 60.5% of business work orders were  
21 completed on time. Moreover, installation intervals for both consumer and  
22 business installations exceed 13 days on average (Page 3 and Page 4).  
23 Additionally this exhibit shows that BellSouth's average cycle time to restore  
24 service to a customer who is out of service is 72.5 hours, about three times  
25 longer than the target time of 24 hours (Page 5). BellSouth's average cycle

1 time to repair service for a customer having service difficulties is 86.9 hours,  
2 20 percent longer than the target time of 72 hours (Page 9).  
3 These exhibits clearly show that BellSouth is not providing new entrants with  
4 the ability to compete effectively.

5

6

## MAINTENANCE AND REPAIR

7

8 **Q. WHAT IS MAINTENANCE AND REPAIR?**

9 A. The FCC Rules provide that maintenance and repair "involves the exchange of  
10 information between telecommunications carriers where one initiates a request  
11 for maintenance or repair of existing products and services or unbundled network  
12 elements or combination thereof from the other with attendant acknowledgments  
13 and status reports." 4 C.F.R. § 51.5. In other words, maintenance and repair  
14 involves the monitoring and fault management activities that assure the proper  
15 functioning of local services. These activities include trouble reporting, and the  
16 testing, monitoring and correction of reported troubles.

17

18 The Draft SGAT does not track this definition exactly. Instead, it refers to  
19 "maintenance and repair" as "service trouble reporting and repair," and states:

20

21

22

23

24

25

Service trouble reporting and repair allows CLECs to  
report and monitor service troubles and obtain repair  
services. BellSouth provides CLECs service trouble  
reporting availability and monitoring in a  
nondiscriminatory manner that provides CLECs the  
same ability to report and monitor service troubles that

1           BellSouth provides itself. BellSouth also provides  
2           CLECs an estimated time to repair, an appointment  
3           time or a commitment time, as appropriate, on all  
4           trouble reports.

5           Draft SGAT at 7. In other words, BellSouth will allow CLECs to make and  
6           monitor trouble reports, but they will not be able to test and correct trouble  
7           reports, as can BellSouth.

8

9   **Q.   WHAT KIND OF ELECTRONIC INTERFACES FOR**  
10   **MAINTENANCE AND REPAIR IS BELLSOUTH PROPOSING TO**  
11   **OFFER UNDER ITS DRAFT SGAT?**

12   A.   The Draft SGAT states that "BellSouth provides two options for electronic  
13   trouble reporting. For exchange services, BellSouth offers CLECs access to  
14   the Trouble Analysis Facilitation Interface (TAFI). For individually designed  
15   services, BellSouth provides electronic trouble reporting through an  
16   electronic communications gateway." Draft SGAT at 8. The electronic  
17   communications gateway referred to in the Draft SGAT is not yet available,  
18   and is not expected to be developed until December, 1997. In the meantime,  
19   new entrants supposedly can report troubles for "designed" or "special"  
20   services through the Electronic Bonding Interface ("EBI") currently used by  
21   interexchange carriers for access services.

22

23   **Q.   WILL EBI AND TAFI PROVIDE A NEW ENTRANT WITH**  
24   **NONDISCRIMINATORY ACCESS TO BELLSOUTH'S OSS FOR**  
25   **MAINTENANCE AND REPAIR FUNCTIONS?**

1 A. No. As explained below, TAFI and EBI do not possess all of the five  
2 characteristics of a nondiscriminatory interface.

3

4

#### ELECTRONIC

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1. TAFI is a human-to-machine interface. Like LENS, TAFI does not allow electronic communication between BellSouth's OSS and a new entrant's OSS. Consequently, when a new entrant submits a trouble report via TAFI, that order must be manually entered into the new entrant's own internal OSS. That is discriminatory because TAFI does not enable new entrants to perform maintenance and repair functions in substantially the same time and manner as BellSouth -- new entrants must manually input the data twice whereas BellSouth manually inputs the data only once. Once more, BellSouth's lack of necessary and appropriate electronic interfaces creates additional costs and delays not experienced by BellSouth.

2. EBI is not fully automated. EBI allows a new entrant to transmit orders electronically, but BellSouth then must manually enter trouble reports for resold services and certain network elements into BellSouth's internal OSS. Manual intervention is necessary because BellSouth has not coded its systems to process those types of maintenance orders. Consequently, EBI operates only like a fancy facsimile machine that suffers from the same problems (slower, less accurate, more costly) that inevitably result from manual intervention.

1 As discussed above, manual intervention increases new entrants' costs  
2 and causes delays in their ability to provide service to their customers.

3  
4 **FUNCTIONALITY** -- TAFI and EBI do not provide new entrants  
5 with the electronic capability to submit and receive status on a  
6 significant portion of the new entrants' trouble reports. BellSouth, on  
7 the other hand, can submit orders and obtain status electronically for  
8 all of its trouble reports. TAFI only supports basic local exchange  
9 services, which accounts for approximately 82 percent of BellSouth's  
10 trouble reports. The remaining trouble orders (approximately 18  
11 percent) will require manual intervention by BellSouth repair  
12 attendants, and therefore will increase delays experienced by new  
13 entrants' customers.

14  
15 **CAPACITY** -- TAFI does not have adequate capacity to handle  
16 efficiently and effectively the combined operational requirements of  
17 all new entrants. BellSouth claims that TAFI currently has the  
18 capacity to support 195 simultaneous users if BellSouth activates its  
19 "hot spare" arrangement. The combined operational requirements for  
20 new entrants, however, is much higher than TAFI's claimed capacity.  
21 Each new entrant needs to be able to have all of their repair attendants  
22 logged into TAFI simultaneously just as BellSouth does. Otherwise,  
23 a new entrant's repair attendant will have to log onto TAFI every time  
24 they receive a trouble report for a customer in BellSouth territory,  
25 causing more cost and delay not experienced by BellSouth. AT&T

1 alone has hundreds of repair attendants, any one of which may receive  
2 a trouble report from an AT&T customer in BellSouth territory.  
3 Other new entrants, particularly the larger national carriers, also  
4 would have large numbers of repair attendants who would need to be  
5 logged into TAFI in order to provide timely service to their  
6 customers.

7  
8 **STANDARDS** -- EBI is an industry standard, but TAFI is not. Since  
9 April 1996, AT&T has been requesting that BellSouth provide TAFI  
10 functionality through the EBI interface. BellSouth, however, has  
11 refused to provide that arrangement. As a result, new entrants have  
12 the Hobson's choice of using an industry standard interface that has  
13 currently has no functionality with respect to resold services and  
14 certain network elements (EBI), or a non-standard human-to-machine  
15 interface that generally has adequate functionality for the resold  
16 services that it supports.

17  
18 **Q. WHAT KIND OF ELECTRONIC INTERFACES FOR**  
19 **MAINTENANCE AND REPAIR HAS BELLSOUTH AGREED TO**  
20 **PROVIDE UNDER ITS INTERCONNECTION AGREEMENT WITH**  
21 **AT&T?**

22 **A.** BellSouth has agreed to provide AT&T with interim interfaces until  
23 BellSouth develops the permanent electronic interfaces for maintenance and  
24 repair. Under the Interconnection Agreement, the interim interfaces for

1 Maintenance and Repair consists of: (a) telephone calls between AT&T and  
2 BellSouth; and (b) BellSouth's TAFI for POTS.

3

4 With respect to the permanent electronic interface, the Interconnection  
5 Agreement provides that BellSouth and AT&T shall establish an electronic  
6 bonding interface that enables AT&T to: (1) enter maintenance orders into  
7 BellSouth's maintenance system; (2) retrieve and track current status of  
8 maintenance orders; (3) receive estimated-time-to-repair on a real-time basis;  
9 (4) initiate a technician dispatch; (5) receive timely notice if the BellSouth  
10 repair person missed or will miss a repair appointment; (6) retrieve all time  
11 and material charges upon closing a maintenance order; and (7) perform  
12 electronic tests at time of order entry and receive test results. The  
13 Interconnection Agreement provides for a single electronic bonding interface  
14 for Maintenance and Repair to handle both resold services and network  
15 elements.

16

17 **Q. WILL THE INTERIM INTERFACES PROVIDE AT&T OR ANY**  
18 **OTHER NEW ENTRANT WITH THE SAME MAINTENANCE AND**  
19 **REPAIR CAPABILITIES THAT BELL SOUTH PROVIDES ITSELF?**

20 A. No. The interim interfaces will not provide AT&T with the same  
21 maintenance and repair capabilities as BellSouth provides itself through  
22 BellSouth's OSS. The same defects exist in the interim interfaces provided to  
23 AT&T for maintenance and repair functions that exist in TAFI and EBI.

24

1   **Q.    WILL THE PERMANENT ELECTRONIC INTERFACES PROVIDE**  
2   **AT&T OR ANY OTHER NEW ENTRANT WITH THE SAME**  
3   **MAINTENANCE AND REPAIR CAPABILITIES THAT**  
4   **BELLSOUTH PROVIDES ITSELF?**

5   A.    Hopefully, the permanent electronic interfaces will provide AT&T with  
6   nondiscriminatory access to BellSouth's OSS for maintenance and repair  
7   functions. It is, however, too early to tell, since the permanent electronic  
8   interface is still in the development phase. AT&T provided its functional  
9   requirements to BellSouth on July 24, 1996. Under the current schedule,  
10   BellSouth and AT&T must use their best efforts to implement the permanent  
11   electronic interface by December 31, 1997. Until the permanent interface is  
12   fully implemented, AT&T will not have nondiscriminatory access to  
13   BellSouth's OSS for maintenance and repair functions.

14

15

### BILLING

16

17   **Q.    WHAT IS BILLING?**

18   A.    The FCC Rules provide that billing "involves the provision of appropriate  
19   usage data by one telecommunications carrier to another to facilitate  
20   customer billing with attendant acknowledgments and status reports. It also  
21   involves the exchange of information between telecommunications carriers to  
22   process claims and adjustments." 4 C.F.R. § 51.5. In other words, billing  
23   involves the process by which an incumbent LEC records and transfers data  
24   that enables a new entrant: (1) to bill its customers for telecommunication  
25   services (i.e., customer usage data) or other telecommunications carriers for



1 access and call termination/transport; and (2) to pay the incumbent LEC for  
2 services rendered.

3

4 **Q. WHAT KIND OF ELECTRONIC INTERFACES FOR BILLING IS**  
5 **BELLSOUTH PROPOSING TO OFFER UNDER ITS DRAFT SGAT?**

6 A. It is not clear. The Draft SGAT provides that "[b]illing for interconnection  
7 services will be through the Carrier Access Billing System ('CABS')." Draft  
8 SGAT at 5. The Draft SGAT, however, does not state how BellSouth will  
9 bill new entrants for network elements. With respect to billing for resale  
10 services, the Draft SGAT states that detailed guidelines for billing of resold  
11 services are contained in BellSouth's Resale Ordering Guide. Draft SGAT at  
12 24. BellSouth's Resale Ordering Guide, however, does not address how  
13 BellSouth proposes to bill a new entrant.

14

15 With respect to customer usage data, the Draft SGAT states:

16 Customer daily usage data provides detailed  
17 information for determining billable usage for services  
18 such as directory assistance or toll calls associated with  
19 a resold line or a ported telephone number. This usage  
20 option allows CLECs to bill their end-user customers  
21 at their discretion, rather than on BellSouth's billing  
22 cycles. It also allows a CLEC to establish toll limits,  
23 detect fraudulent calling or analyze the usage patterns  
24 of its customers.

1 Draft SGAT at 7. To establish Daily Usage File Service, BellSouth's  
2 Ordering Guides provide that new entrants must enter into a separate contract  
3 with BellSouth. Whether that separate contract will comply with the Act is  
4 unknown because the Ordering Guides do not include such a contract. It is  
5 also unknown whether the charges for Daily Usage File Service are cost-  
6 based.

7

8 **Q. WILL THE DRAFT SGAT PROVIDE A NEW ENTRANT WITH**  
9 **NONDISCRIMINATORY ACCESS TO BELLSOUTH'S OSS**  
10 **BILLING FUNCTIONS?**

11 A. No. The Draft SGAT does not specify how BellSouth will bill new entrants  
12 for network elements and resold services. It is my understanding that  
13 BellSouth does not yet have the capability to record usage data or generate  
14 mechanized bills for many network elements. In addition, BellSouth does not  
15 have the capability to generate Carriers Access Billing Systems (CABS)  
16 formatted bills for resold services. Without CABS formatted bills, new  
17 entrants will receive two types of bills (Customer Record Information System  
18 (CRIS) and CABS) instead of a single bill (CABS), which will adversely  
19 affect a new entrant's billing operations. Auditing two bills is more difficult  
20 than auditing one bill, and therefore new entrants will incur more costs and  
21 expend more resources to perform billing functions using the interim  
22 interface than the permanent interface.

23

1 **Q. WHAT KIND OF ELECTRONIC INTERFACES FOR BILLING HAS**  
2 **BELLSOUTH AGREED TO PROVIDE UNDER ITS**  
3 **INTERCONNECTION AGREEMENT WITH AT&T?**

4 A. BellSouth has agreed that, no later than August 3, 1997, BellSouth will  
5 provide AT&T with bills for all services (e.g., interconnection, network  
6 elements, and resold services) using only CABS or the CABS format.  
7 BellSouth, however, has indicated that CABS formatted bills will not be  
8 available for certain network elements until much later. On an interim basis  
9 until that time, BellSouth has agreed to provide AT&T with bills in  
10 CRIS/CLUB ("Customer Large User Bill") format for certain services, and  
11 CABS bills for other services. With respect to customer usage data,  
12 BellSouth has agreed to provide AT&T with customer usage data in a  
13 standard format via a batch file transfer.

14  
15 **Q. WILL THE INTERIM INTERFACES PROVIDE AT&T OR OTHER**  
16 **NEW ENTRANTS WITH NONDISCRIMINATORY ACCESS TO**  
17 **BELLSOUTH OSS FOR BILLING FUNCTIONS?**

18 A. No. As discussed above, BellSouth's interim interfaces do not provide  
19 nondiscriminatory access to BellSouth's OSS for billing functions because:  
20 (1) BellSouth does not have the capability to record usage or generate  
21 mechanized bills for many network elements; and (2) BellSouth does not  
22 provide CABS formatted bills for resold services. These deficiencies prevent  
23 new entrants from serving their customers in substantially the same time and  
24 manner as BellSouth.

25

1 **Q. WILL THE PERMANENT ELECTRONIC INTERFACES PROVIDE**  
2 **AT&T OR ANY OTHER NEW ENTRANT WITH THE SAME**  
3 **BILLING CAPABILITIES THAT BELL SOUTH PROVIDES ITSELF?**

4 A. The permanent electronic interfaces should provide AT&T with  
5 nondiscriminatory access to BellSouth's OSS for billing, but it is too early to  
6 tell. For example, BellSouth does not have the methods and procedures in  
7 place for recording usage data that is necessary for the billing of many  
8 network elements. BellSouth, moreover, continually cancels meetings  
9 regarding key billing issues. As a result, AT&T cannot be certain that  
10 BellSouth's billing system will have the technical capability to provide  
11 nondiscriminatory access until that system is operational, as defined by the  
12 Interconnection Agreement. Additionally, BellSouth must measure the  
13 performance of its billing systems to determine whether the billing services  
14 that BellSouth provides AT&T is at least equal in quality to the billing  
15 services that BellSouth provides itself internally. Only empirical data will  
16 prove that BellSouth is providing nondiscriminatory access to its OSS for  
17 billing functions.

18

19

### SUMMARY

20

21 **Q. PLEASE SUMMARIZE YOUR TESTIMONY.**

22 A. BellSouth must provide nondiscriminatory access to its OSS in order to  
23 comply with Sections 251 and 271 of the Act. Nondiscriminatory access to  
24 OSS is an integral part of providing access to unbundled elements, as well as

1 making services available for resale. At the present time, BellSouth cannot  
2 do so.

3

4 To provide nondiscriminatory access, BellSouth must make available  
5 electronic interfaces to BellSouth's OSS that: (1) enable a new entrant to  
6 perform the same or equivalent OSS functions in the substantially the same  
7 time and manner as BellSouth; and (2) provide new entrants with a  
8 meaningful opportunity to compete. To date, however, BellSouth has not  
9 provided any new entrant with nondiscriminatory access to BellSouth's OSS.  
10 BellSouth's proposed interfaces do not enable new entrants to perform OSS  
11 functions in substantially the same time and manner as BellSouth because  
12 more human intervention is required for the new entrant to perform OSS  
13 functions than BellSouth. This additional human intervention is a  
14 consequence of BellSouth's interfaces being human-to-machine (LENS and  
15 TAFI specifically), lacking the same functional capabilities as BellSouth's  
16 OSS (all OSS interfaces), and not providing integrated, industry standard  
17 interfaces (EDI and LENS, TAFI and EBI). In addition, BellSouth has not  
18 demonstrated that its proposed interfaces (LENS and TAFI) have sufficient  
19 capacity to meet the combined operational requirements of all new entrants.  
20 Furthermore, BellSouth's proposed interfaces do not comport with industry  
21 standards and are not adequately documented, which substantially diminishes  
22 if not eliminates any meaningful opportunity for new entrants to compete  
23 with BellSouth.

24

1 BellSouth has not provided any empirical evidence that its interfaces meet the  
2 requirements of the Act. BellSouth's interfaces have not been sufficiently  
3 tested and have little if any operational experience in the real world.  
4 BellSouth, moreover, has not measured its performance as a retailer and a  
5 wholesaler in order to provide an objective comparative standard against  
6 which to judge nondiscrimination.

7  
8 For these reasons and the reasons explained above, I recommend that the  
9 Florida Commission find that BellSouth's proposed OSS interfaces do not yet  
10 comply with the provisions of Section 251 of the Act. Specifically, I  
11 recommend that the Commission make a negative determination for Issue  
12 Nos 2, 3, 3(a), 9, 10, 12, 15, and 15(a).

13

14 **Q. DOES THAT COMPLETE YOUR TESTIMONY?**

15 **A. Yes.**

---

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

In Re: Consideration of ) DOCKET NO. 960786-TL  
BellSouth Telecommunications ) FILED: July 31, 1997  
Inc.'s Entry Into InterLATA )  
Services Pursuant to Section 271 )  
of the Federal )  
Telecommunications Act of 1996. )

---

REBUTTAL TESTIMONY  
OF  
JAY BRADBURY  
ON BEHALF OF  
AT&T COMMUNICATIONS OF  
THE SOUTHERN STATES INC.

1 BACKGROUND

2

3 **Q. PLEASE STATE YOUR NAME AND ADDRESS.**

4 A. My name is Jay Bradbury. My business address is 1200 Peachtree Street,  
5 Atlanta, Georgia.

6

7 **Q. DID YOU PREVIOUSLY FILE TESTIMONY IN THIS DOCKET?**

8 A. Yes. I filed direct testimony on July 17, 1997.

9

10 **Q. WHAT IS THE SCOPE OF YOUR REBUTTAL TESTIMONY?**

11 A. I address five important points. First, I explain that the work-arounds  
12 proposed by BellSouth to compensate for the problems associated with  
13 LENS being a human-to-machine interface are not commercially viable  
14 and certainly do not provide nondiscriminatory access. Second, I explain  
15 that the pre-ordering capabilities of LENS are not available to new  
16 entrants submitting service orders via the industry-standard EDI ordering  
17 interface, the Personal Computer based EDI ordering package, or by fax  
18 machine in the manner described by Ms. Calhoun. Consequently,  
19 BellSouth does not provide nondiscriminatory access to pre-ordering  
20 functions. Third, I explain that, contrary to Ms. Calhoun's claims,  
21 BellSouth does not provide new entrants with nondiscriminatory access to  
22 BellSouth's ordering functions for so-called complex services. Fourth, I  
23 correct the false impression that Ms. Calhoun created regarding the  
24 Georgia PSC's findings on LENS. Fifth and finally, I explain that Ms.



1 Calhoun's claim that BellSouth is providing new entrants with timely and  
2 useful usage data is incorrect. (Issues 2, 3, 3(a), 10, 15, 15(a)).

3

4 **Q. PLEASE EXPLAIN BELLSOUTH'S PROPOSED WORK-**  
5 **AROUNDS TO COMPENSATE FOR THE PROBLEMS**  
6 **ASSOCIATED WITH LENS BEING A HUMAN-TO-MACHINE**  
7 **INTERFACE.**

8 A. In her direct testimony at pages 10-11, BellSouth Witness Calhoun  
9 suggests two work-arounds to "integrate" LENS with a new entrant's  
10 operational support systems ("OSS") to compensate for the fact that LENS  
11 is a human-to-machine interface. The proposed methods are for a new  
12 entrant to: (1) "cut and paste" information from LENS into the new  
13 entrant's OSS; and (2) develop and build a Common Gateway Interface  
14 (CGI). These methods are commercially impracticable and  
15 discriminatory.

16

17 Cutting and pasting information from LENS into a new entrant's OSS is  
18 a manual and cumbersome process. From a practical standpoint, it offers  
19 few if any advantages over retyping the information into the new entrant's  
20 OSS. The data elements and formats used in LENS are not consistent with  
21 those used in the industry standard EDI ordering interface, the PC based  
22 EDI package, or the Ordering and Billing Forum ("OBF") fax forms, so  
23 cutting and pasting will additionally necessitate editing. Furthermore,  
24 cutting and pasting is available only if the new entrant's OSS uses certain  
25 software. In any event, forcing new entrants to use this manual and

1           cumbersome process to overcome a LENS design deficiency is  
2           discriminatory because BellSouth does not have to cut-and-paste between  
3           different systems to perform its own OSS functions.

4  
5           With respect to developing and building screen-scraping or CGI software,  
6           I touched upon that issue in my direct testimony at page 36-39. To  
7           summarize, I explained that "screen scraping" and using "Tag Value" data  
8           streams would increase a new entrant's costs and result in longer  
9           operational disruptions whenever BellSouth changed LENS. CGI is a Tag  
10          Value data stream, so it is similarly objectionable. I also explained that a  
11          new entrant cannot implement either screen-scraping or Tag Value data  
12          streams if BellSouth does not provide the specifications for LENS, the  
13          Web page screens it produces, or the Tag Values that will be sent in place  
14          of the screens. In her direct testimony at page 12, Ms. Calhoun states that  
15          BellSouth's CGI specification is available to any new entrant interested in  
16          pursuing that option. That is incorrect, and the brief chronology provided  
17          below demonstrates that BellSouth has not provided the information  
18          necessary to implement the techniques it proposes:

19                   August 23, 1996      BellSouth and AT&T discuss LENS for the  
20    first time. AT&T reasserts its need for a  
21    machine-to-machine interface instead of the  
22    LENS' human-to-machine interface.

23                   September 6, 1996   BellSouth prepares a "White Paper"  
24    describing a "data stream" and a "Tag  
25    Value" method that BellSouth could

1 generate from its LENS server instead of  
2 Web pages.

3 Sept. 96 to Jan. 97 During these months, AT&T repeatedly  
4 requests additional specifications regarding  
5 BellSouth's proposed data stream and Tag  
6 Value methods. BellSouth does not provide  
7 the requested specifications.

8 January 23, 1997 BellSouth and AT&T meet to discuss the  
9 Tag Value method. BellSouth states that it  
10 had dedicated its resources to implementing  
11 LENS, and believes that it could implement  
12 the Tag Value method within 30 days after  
13 LENS was implemented (i.e., May 1, 1997).  
14 AT&T renews its request for technical  
15 specifications.

16 March 20, 1997 After the previous unsuccessful attempts by  
17 the AT&T team to obtain technical  
18 specifications for implementing the Tag  
19 Value system, AT&T executives were  
20 forced to intervene in the process. As a  
21 result, BellSouth finally provides the  
22 technical specifications for implementing  
23 the Tag Value method. AT&T determines  
24 that July 1, 1997, was then the earliest  
25 possible date that the parties could complete

1 development and testing of the Tag Value  
2 method.

3 April 1-3, 1997 BellSouth advises new entrants at LENS  
4 demonstrations that the Tag Value method is  
5 an available alternative to the LENS Web  
6 page.

7 April 8, 1997 BellSouth advises AT&T that current Tag  
8 Value specifications are not technically  
9 feasible and that implementation of the Tag  
10 Value method cannot occur by July 1, 1997.

11 April 14-15, 1997 BellSouth and AT&T discuss alternatives  
12 ranging from the original Tag Value  
13 approach to finding commercially available  
14 software to perform conversion work.  
15 Neither BellSouth nor AT&T find such  
16 software, and both estimate it would take 2-  
17 3 months to develop the software.

18 April 15, 1997 BellSouth advises the Georgia PSC that the  
19 Tag Value alternative (referred to as the  
20 Common Gateway Interface or CGI) builds  
21 upon the LENS interface; and, therefore,  
22 firm specifications cannot be provided until  
23 the LENS interface is finalized.

24 April 25, 1997 BellSouth faxes AT&T a description of  
25 LENS Web-page outputs from which

1 BellSouth says AT&T can develop its own  
2 conversion program.

3 May 5, 1997 At a LENS demonstration, BellSouth's  
4 project manager for LENS states that LENS  
5 has changed since becoming "available" on  
6 April 28, and it will continue to change on  
7 no less than a monthly basis through at least  
8 the end of 1997.

9 May 19, 1997 BellSouth's project manager for LENS  
10 confirms in a letter that the LENS design is  
11 immature, that the system will require  
12 multiple and frequent changes, and that it  
13 will not be stable for six to nine months.

14  
15 As BellSouth acknowledged on April 15 in its report to the Georgia PSC,  
16 the Tag Value alternative cannot occur until the LENS interface is  
17 finalized. BellSouth, however, does not expect that the LENS design will  
18 be stable until 1998. Accordingly, it is commercially impracticable, if not  
19 virtually impossible, for any new entrant to develop systems that will  
20 allow them to integrate their OSS with LENS. This is particularly true  
21 because the permanent interfaces under AT&T's interconnection  
22 agreement should be completed by December 31, 1997. It makes no sense  
23 for AT&T or any other new entrant to expend resources to develop an  
24 interim interface that probably could not be implemented before the  
25 permanent interfaces are implemented. In any event, the Act requires

1 BellSouth to provide a nondiscriminatory interface; it does not require  
2 new entrants to develop systems to minimize the impact of BellSouth's  
3 discriminatory interfaces.

4

5 Furthermore, even if such alternative software were to be developed by  
6 new entrants, the resulting data elements extracted would still not be  
7 consistent with those used in the industry standard based EDI ordering  
8 interface, the PC based EDI ordering package, or the OBF based fax  
9 forms. LENS data elements do not conform to EDI or OBF guidelines.

10

11 **Q. YOU STATE THAT THE PRE-ORDERING CAPABILITIES OF**  
12 **LENS ARE NOT AVAILABLE TO NEW ENTRANTS**  
13 **SUBMITTING SERVICE ORDERS VIA THE INDUSTRY-**  
14 **STANDARD EDI ORDERING INTERFACE, THE PC BASED EDI**  
15 **ORDERING PACKAGE, OR BY FAX MACHINE IN THE**  
16 **MANNER DESCRIBED BY MS. CALHOUN. PLEASE EXPLAIN.**

17 A. BellSouth's LENS pre-ordering functionality is not integrated with the EDI,  
18 PC EDI, or fax ordering processes. LENS operates in two modes: "Inquiry"  
19 and "Firm Order." The Inquiry mode performs various pre-ordering functions  
20 independently. The Firm Order mode, on the other hand, performs pre-  
21 ordering and ordering functions in a set, integrated process. BellSouth has  
22 suggested that the two modes have different functionalities because the Firm  
23 Order mode is associated with a service order, whereas the Inquiry mode is  
24 not associated with a service order. That simply is not true. Presumably,  
25 BellSouth intends new entrants to use the Firm Order mode of LENS when the

1 new entrant submits its order through LENS, and to use the Inquiry mode  
2 when the new entrant submits its service order through a means other than  
3 LENS (e.g., EDI, PC EDI, or fax). Since BellSouth expects that 80 percent of  
4 all new entrant service orders will be EDI orders, one would anticipate that  
5 most new entrants would use the Inquiry mode. The Firm Order mode offers  
6 different functionality than is available in the Inquiry mode for all pre-  
7 ordering functions, except access to customer service records.

8

9 BellSouth has suggested that new entrants use the Firm Order mode to avoid  
10 some of the inefficiencies of the Inquiry mode. This is unworkable; neither  
11 mode by itself offers the features and functionalities required for parity. The  
12 Firm Order mode of LENS alone is not a commercially viable pre-ordering  
13 option to new entrants submitting EDI, PC EDI, or faxed orders for the  
14 following reasons:

15

16 **Address Validation** -- New entrants must validate a customer's  
17 address repeatedly in the Inquiry Mode in order to obtain telephone  
18 numbers, view available features and services, or view the  
19 installation calendar. While the Firm Order mode requires only  
20 one address validation, it doesn't supply other necessary features  
21 and functions as discussed below.

22

23 **Telephone Numbers** --In the Inquiry mode, LENS limits new  
24 entrants to 100 reserved telephone numbers, or 5 percent of the  
25 available numbers for any given central office. While that

1 limitation does not apply to the Firm Order mode, a new entrant  
2 cannot reserve a number in the Firm Order mode for an EDI, PC  
3 EDI, or fax order: the selected telephone number is released as  
4 soon as the new entrant aborts a particular LENS order. Therefore,  
5 as a practical matter, new entrants must use the Inquiry mode of  
6 LENS to select telephone numbers for EDI, PC EDI, or faxed  
7 orders.

8  
9 **Features and Services** -- In the Firm Order mode, a new entrant  
10 must perform an address validation and select a telephone number  
11 before selecting features and services. Once at the Features and  
12 Services section of the Firm Order mode, a new entrant cannot  
13 view all of the features and services available at a particular central  
14 office. Instead, the new entrant can view only those limited  
15 features and services that can be ordered via LENS. That  
16 limitation does not apply in the Inquiry mode. Therefore, as a  
17 practical matter, new entrants are forced to use LENS in the  
18 Inquiry mode to view feature and services information for EDI, PC  
19 EDI, and faxed orders. In fact, a new entrant using LENS to  
20 submit orders would have to access LENS in the Inquiry mode as  
21 well as the Firm Order mode if a customer wanted information  
22 about a service that could not be ordered through LENS. In other  
23 words, neither mode by itself allows a complete inquiry at all, let  
24 alone on a parity basis.

25



1           **Due Dates** -- In the Inquiry mode, new entrants do not have access  
2           to the essential functionality of BellSouth's Direct Order Entry  
3           Support Applications Program ("DSAP"). According to  
4           BellSouth, DSAP calculates due dates based on an intricate logic  
5           incorporating all variables that can influence due dates. Instead of  
6           providing access to DSAP's intricate logic, the Inquiry Mode of  
7           LENS provides new entrants with an installation calendar that  
8           contains only some of the information that may affect due dates. It  
9           does not calculate the due date or allow a new entrant to reserve a  
10          due date. In contrast, new entrants operating LENS in the Firm  
11          Order mode have access to DSAP, as BellSouth also does when  
12          using its OSS. As a practical matter, however, new entrants cannot  
13          use LENS in the Firm Order mode to obtain due dates for EDI, PC  
14          EDI, or faxed orders. That is because a new entrant must go  
15          through dozens of steps in order to obtain access to DSAP, which  
16          is the last step before submitting a LENS order to BellSouth.  
17          Furthermore, there is no guarantee that a new entrant will be able  
18          to obtain the same due date when submitting an EDI, PC EDI or  
19          faxed service order.

20  
21          BellSouth currently does not offer a pre-ordering interface that is  
22          integrated with the EDI ordering interface. BellSouth touts the industry  
23          standard EDI as its primary ordering interface through which 80 percent of  
24          all service orders will flow, yet new entrants must sacrifice pre-ordering  
25          functionality for the ability to submit orders via EDI.

1  
2 As demonstrated above, new entrants operating LENS in the Inquiry mode  
3 do not have the equivalent access to pre-ordering functions as new entrants  
4 operating in the Firm Order mode or BellSouth operating in its retail  
5 environment. Furthermore, it is not practical for new entrants to attempt  
6 to use LENS in the Firm Order mode to support EDI, PC EDI, or faxed  
7 orders. Consequently, LENS' dual mode design fails to provide  
8 nondiscriminatory access to BellSouth's pre-ordering functions for new  
9 entrants using the industry EDI ordering interface (an estimated 80 percent  
10 of all orders), new entrants using the PC EDI ordering interface, or new  
11 entrants faxing orders by choice or by necessity (i.e., where neither LENS  
12 nor EDI supports a particular service or network element).

13

14 **Q. YOU STATE THAT CONTRARY TO MS. CALHOUN'S CLAIMS,**  
15 **BELLSOUTH DOES NOT PROVIDE NEW ENTRANTS WITH**  
16 **NONDISCRIMINATORY ACCESS TO BELLSOUTH'S**  
17 **ORDERING FUNCTIONS FOR SO-CALLED COMPLEX**  
18 **SERVICES. PLEASE EXPLAIN.**

19 **A.** On pages 14-15 and 41-43 of her testimony, Ms. Calhoun suggests that  
20 BellSouth provides new entrants with nondiscriminatory access to  
21 BellSouth's ordering functions for so-called complex services. That is not  
22 true. Ms. Calhoun obfuscates the issue by confusing the pre-ordering  
23 process with the ordering process. While BellSouth may manually gather  
24 pre-ordering information for complex services, BellSouth has the  
25 capability to input orders for complex services directly and electronically

1 into BellSouth's OSS. Nondiscriminatory access requires that new  
2 entrants have the same capability to input orders for complex services  
3 electronically into BellSouth's OSS. It is that simple.

4  
5 As noted in my direct testimony at page 15, the DOJ found that the FCC's  
6 nondiscrimination rules are not limited by the role that any particular OSS  
7 function plays in an RBOC's retail operations. See DOJ SBC Evaluation,  
8 App. A, at 78. In other words, BellSouth must provide new entrants with  
9 the functionality of its OSS and cannot limit the way the new entrant uses  
10 that functionality. For complex services, BellSouth is attempting to limit a  
11 new entrant's use of an OSS function by forcing it to use BellSouth's  
12 process for supporting complex services. Under BellSouth's process, the  
13 BellSouth account team for a particular new entrant will be a bottleneck  
14 that restricts a new entrant's ability to order complex services efficiently,  
15 effectively, and confidentially. If new entrants have direct order entry  
16 capability like BellSouth, however, the new entrants can automate and  
17 eliminate the inefficient manual processes that BellSouth developed in a  
18 monopoly environment, thereby improving customer service. Without  
19 direct order entry capability, BellSouth will be able to hold new entrants  
20 captive to its own inefficient manual processes. This is not what  
21 competition is about.

22  
23 In fact, forcing new entrants to utilize BellSouth's present manual pre-  
24 ordering processes for these so called complex services is discriminatory  
25 even though BellSouth uses the process today. This is true because it

1 denies new entrants the meaningful opportunity to compete by eliminating  
2 the capability to improve upon BellSouth's process. If BellSouth's  
3 process takes four weeks, and a new entrant can perform the process in  
4 three weeks, requiring the new entrant to use BellSouth's process is  
5 discriminatory.

6

7 **Q. YOU STATE THAT MS. CALHOUN CREATED A FALSE**  
8 **IMPRESSION REGARDING THE GEORGIA PSC'S FINDINGS**  
9 **ON LENS. PLEASE EXPLAIN.**

10 A. At page 33 of her direct testimony, Ms. Calhoun created a false impression  
11 that the Georgia PSC somehow found that the LENS design provides new  
12 entrants with access to BellSouth's OSS functions that is equivalent to that  
13 which BellSouth provides itself. However, Ms. Calhoun testified in the  
14 Louisiana 271 proceeding that the Georgia PSC has never found that any  
15 of BellSouth's interfaces comply with the Act or its implementing  
16 regulations. See Louisiana 271 Hearing Transcript at 416 (May 20, 1997).  
17 As explained below, the Georgia PSC never made any such findings. What  
18 the orders of the Georgia PSC do indicate is that LENS is only an interim  
19 interface that does not provide nondiscriminatory access to OSS functions.

20

21 In Docket No. 6352-U, AT&T requested, among other things, that the  
22 Georgia PSC require BellSouth to establish electronic operational  
23 interfaces for OSS functions pursuant to Georgia law. In response to  
24 AT&T's request, on June 11, 1996, the Georgia PSC required BellSouth to  
25 establish the requested interfaces by July 15, 1996. Subsequently, by

1 order dated July 11, 1996, the Georgia PSC established a revised schedule  
2 that required BellSouth to provide some interfaces in the Fall of 1996, and  
3 other interfaces by the Spring of 1997.

4  
5 On December 4, 1996, the Commission issued an order in Docket No.  
6 6801-U, which involved AT&T's arbitration with BellSouth under the  
7 Telecommunications Act. Georgia PSC Order, Docket No. 6801-U (Dec.  
8 4, 1996). In that order, the Georgia PSC found that the interfaces  
9 BellSouth had developed to date complied with its previous orders and,  
10 therefore, would be sufficient to meet AT&T's interim needs. Id. at 23.  
11 The LENS interface was neither developed nor in service on the date of  
12 the order and thus cannot be considered to have been approved by the  
13 Georgia PSC. The Commission also found that AT&T and BellSouth  
14 should continue to work jointly with industry groups to develop standards  
15 for long-term electronic interface solutions. Id.

16  
17 In its Supplemental Order in Docket 6801-U, the Georgia PSC reiterated  
18 that its earlier approval related only to interim interfaces. The Georgia  
19 PSC then adopted permanent interface requirements which mirror those in  
20 the AT&T-BellSouth Florida agreement, and set a completion deadline of  
21 December 31, 1997.

22  
23 In Docket 7253-U, which involved the review of BellSouth's SGAT under  
24 Section 252(f) of the Act, the Georgia PSC referred to LENS as an  
25 "interim" interface. Georgia PSC Order, Docket 7253-U, at 28 (March 21,

1 1997). The Georgia PSC found that "BellSouth has not yet demonstrated  
2 that it is able to provide access to [OSS] on a nondiscriminatory basis that  
3 places CLECs at parity with BellSouth." Id. at 10.

4

5 **Q. YOU STATE THAT BELL SOUTH INCORRECTLY CLAIMS IT IS**  
6 **PROVIDING USEFUL AND TIMELY USAGE DATA. PLEASE**  
7 **EXPLAIN.**

8 A. At page 54 of her direct testimony, Ms. Calhoun claims that BellSouth is  
9 providing useful and timely usage data. That is not accurate. BellSouth  
10 Witness Milner has acknowledged that BellSouth currently cannot  
11 generate a mechanized bill for local switching usage. Milner Direct at 21.  
12 In addition, BellSouth cannot record and transmit all of the usage data that  
13 new entrants require to bill access and mutual compensation in a network  
14 element or facilities-based environment. This recorded data is required  
15 not only for billing by CLECs, but also for conducting usage studies,  
16 market analysis and forecasting, as BellSouth is able to do. Without this  
17 capability, BellSouth cannot provide nondiscriminatory access to its OSS  
18 for billing functions.

19

20 **Q. PLEASE SUMMARIZE YOUR REBUTTAL TESTIMONY.**

21 A. BellSouth has proposed a patchwork of interfaces that do not provide new  
22 entrants with nondiscriminatory access to BellSouth's OSS functions. For  
23 example, BellSouth proposes LENS for pre-ordering functions, but LENS  
24 is not compatible with the EDI ordering interface, which is the standard  
25 recognized by the telecommunications industry for ordering functions. In

1 fact, a new entrant must sacrifice some of the pre-ordering functionality  
2 available in LENS in order to use the EDI ordering interface. Most new  
3 entrants' orders will use the industry standard EDI ordering interface  
4 despite these limitations. Even though it provides integrated pre-ordering  
5 capabilities, BellSouth admits that the LENS ordering functionality is  
6 discriminatory. The work-arounds (both automated and manual) that  
7 BellSouth has floated to compensate for deficiencies of its interfaces are  
8 not viable in any commercial sense. In any event, BellSouth does not  
9 meet the Act's requirements for nondiscrimination even if a new entrant  
10 could take some extraordinary efforts to somehow make BellSouth's  
11 proposed interfaces barely adequate. For these reasons and the reasons set  
12 forth in my direct testimony, the Florida Commission should find that  
13 BellSouth's proposed OSS interfaces do not yet comply with the  
14 provisions of Section 251 of the Act. Specifically, the Commission should  
15 make a negative determination for Issues 2, 3, 3(a), 10, 15 and 15(a).

16

17 **Q. DOES THAT COMPLETE YOUR REBUTTAL TESTIMONY?**

18 **A. Yes.**

(Transcript continues in Volume 26.)