


**BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION**

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of
Petition for approval of early
termination amendment to negotiated
qualifying facility contract with
Orlando Cogen Limited, Ltd. by
Florida Power Corporation.

DOCKET NO. 961184-BQ



VOLUME 2

AFTERNOON SESSION

Pages 170 through 340

PROCEEDINGS: HEARING

**BEFORE: COMMISSIONER SUSAN F. CLARK
 COMMISSIONER JOE GARCIA**

DATE: Thursday, October 30, 1997

TIME: Commenced at 9:30 a.m.

**PLACE: Betty Easley Conference Center
 Room 148
 4075 Esplanade Way
 Tallahassee, Florida**

**REPORTED BY: JOY KELLY, CSR, RPR
 Chief, Bureau of Reporting**

APPEARANCES:

 (As heretofore noted.)

DOCUMENT NUMBER-DATE
11546 NOV 10 5

I N D E X

MISCELLANEOUS

ITEM	PAGE NO.
Mr. Child's Request that Official Notice be taken of Order 14734 in Docket 910401-EQ	294

WITNESSES

NAME	PAGE NO.
LEE G. SCHUSTER	
Redirect Examination By Mr. NoSee	220
HUGH LARKIN, JR.	
Direct Examination By Mr. Howe	226
Prefiled Direct Testimony Inserted	228
Cross Examination By Mr. Freeschle	245
Cross Examination By Mr. Childs	269
Cross Examination By Mr. Keating	328

EXHIBITS

NUMBER	ID.	ADMTD.
8 LGS-29 - 31	177	224
9 (Late-Filed) Revised Late-file Depo Ex 7 and revised cost- effectiveness analysis	184	
3 (Withdrawn)	224	
2 through 8		224
10 Appendix to Hugh Larkin's prefiled entitled "Qualifications" & NL-1	227	338
11 Comparison of OCL Contract Buyout to Coal-Fired Generation	312	338

P R O C E E D I N G S

(Hearing reconvened at 2:10 p.m.)

(Transcript follows in sequence from
Volume 1.)

COMMISSIONER CLARK: I'm taking an
assessment of the cross examination. It's unlikely
we'll finish today, but let's continue on and see what
happens. Is there a preference among the parties as
to what we do? All right, we'll just see how it goes.

Go ahead, Mr. Keating. You were cross
examining Mr. Schuster.

- - - - -

LGS G. SCHUSTER

continues his testimony under oath from Volume 1

CONTINUED CROSS EXAMINATION

BY MR. KEATING:

Q Mr. Schuster, I'd like to pick up on some
questions we had regarding your fuel forecasts, and I
believe during the break you've checked on these?

A Yes.

Q Okay. I believe we were looking at your
late-filed exhibit, Late-filed Deposition Exhibit
No. 3 that's contained in the exhibit, Staff
Exhibit LGS-24. And in that exhibit there's a column
titled "Premium Supply Cost" reflecting FPC's 9603

1 forecast or for the years 1997 to 2006. And that
2 exhibit shows that the premium supply cost is 73 cents
3 above what appears to be incremental or spot prices in
4 the other column that's titled "Supply Cost" in each
5 of the years shown. And my question before was does
6 that 73 cents represent the premium for firm natural
7 gas?

8 A No, it does not. The column that's labeled
9 Premium Supply Cost is a column that represents
10 getting gas in the secondary market for
11 transportation. In other words, the Basic Supply Cost
12 column represents buying gas from the pipeline, either
13 available space or space at the time that a pipeline
14 is expanded and new capacity is added. The Premium
15 Supply Cost reflects basically a shortage of
16 transportation and a situation in which we would
17 obtain transportation for gas from another person who
18 holds transportation capacity on the pipeline. Hence
19 the reason for the premium. It represents an
20 alternative scenario for gas transportation costs.

21 Q Would you be able to estimate the
22 cost-effectiveness of the net present value savings of
23 the buyout based on firm price forecasts? (Pause)

24 I'm sorry. Let me ask you a different
25 question.

1 Would it be reasonable to use the 73-cent
2 premium that's shown in that exhibit to convert the
3 spot prices that are rolled on, spot price forecast
4 you rely on in your analysis to a firm price?

5 A No, it would not. Because the 73-cent
6 premium doesn't relate to spot versus firm commodity
7 gas. It relates to the transportation.

8 What we have used is the supply cost listed
9 in the first column, which is the base case gas
10 forecast. It reflects spot market gas supplied
11 through the marketplace.

12 Q Would it be reasonable to use the values in
13 the Premium Supply Cost column as a conservative
14 estimate to evaluate the net present value savings of
15 the buyout?

16 A It could certainly be used as a sensitivity
17 case. I have to apologize again, I was able to
18 determine conceptually what the premium supply cost
19 is, but in order to answer your question properly I
20 would need to know, for example, what the probability
21 of occurring is, and what is really being used
22 internal in the company. I suspect it's being used as
23 kind of a sensitivity analysis considering the
24 possibility that the transportation would be tight.

25 I don't really see a justification for using

1 that in a base case analysis because under base case
2 status quo conditions you would expect Florida Gas
3 Transmission to expand periodically and accommodate
4 gas demands.

5 Q If you can please turn to your Late-filed
6 Deposition Exhibit 7 and that's part of a composite
7 exhibit that's identified as LGS-34. It's on page
8 No. 13.

9 A Yes.

10 Q Is it correct that that exhibit shows
11 supporting calculations for your determination of the
12 levelized annual carrying cost rates used to determine
13 the placement capacity costs in Florida Power
14 Corporation's cost-effectiveness analysis?

15 A Yes.

16 Q Is it also correct that this exhibit
17 provides Florida Power Corporation's financial
18 projections, such as projected debt/equity mix,
19 composite cost of capital, and assumed risk premium on
20 equity, as well as other projections?

21 A It provides a forecast of those items. This
22 particular forecast was created as part of the May
23 1995 generation cost forecast. It's information is
24 not fully consistent with the official source of this
25 information, which is the Florida Power Engineering

1 Economy Manual. And it is also not up-to-date due to
2 the fact it was done in May of '96.

3 Q Is it correct that according to this
4 exhibit, Florida Power Corporation has projected its
5 debt/equity mix at 50/50?

6 A For the purposes of this forecast they were
7 projected at 50/50. My recollection is that the
8 Engineering Economy Manual is 45/55.

9 COMMISSIONER CLARK: Which is 45 and which
10 is 55?

11 WITNESS SCHUSTER: 55 equity; 45 debt.

12 Q (By Mr. Beating) Aren't you using the
13 50/50 debt/equity ratio in your current analysis?

14 A We are continuing to use the information
15 included in response to Interrogatory No. 15, the
16 exhibit that we're referring to right now, in our
17 current analysis. It does not -- well, it uses
18 slightly different assumptions than those contained in
19 the Engineering Economy Manual.

20 I've continued to use this particular
21 forecast because the difference between the levelized
22 fixed charge rate computed here and the levelized
23 fixed charge rate computed using the Engineering
24 Economy Manual assumptions is immaterial.

25 Q I believe that Staff has handed out exhibits

1 LGS-29, 30 and 31.

2 COMMISSIONER CLARK: Yes. Mr. Keating, I
3 have them. How would you like them marked as
4 exhibits?

5 MR. KEATING: I'd like those marked as
6 Composite Exhibit -- what is the number?

7 COMMISSIONER CLARK: 8 is the next. LGS-29
8 through 31, which the Staff has handed out, will be
9 marked as Composite Exhibit 8.

10 (Exhibit 8 marked for identification.)

11 Q (By Mr. Keating) Mr. Schuster, could you
12 refer to the exhibit identified as LGS-29. (Pause)

13 A Yes.

14 Q Would you please review that exhibit for a
15 second and let me know if that exhibit shows in part
16 portions of Florida Power Corporation's monthly
17 surveillance reports for October 1996 and August 1997?

18 A Yes, it does.

19 Q This exhibit also contains a summary of
20 those reports prepared by Staff as the last page on
21 the exhibit.

22 Could you tell me approximately what Florida
23 Power Corporation's current debt/equity mix is as
24 appears on Florida Power Corporation's surveillance
25 reports filed with the Commission?

FLORIDA PUBLIC SERVICE COMMISSION

14 represented on your Late-filed Deposition Exhibit . . .

15 A Late-filed Exhibit No. 7 was part of the
16 market-based generation cost forecast that was used in
17 the October 1st filing. It was prepared by a separate
18 department from Purchased Power. We were basically
19 told to use that by management because that was the
20 generation cost forecast being used at that time by
21 the company.

22 We reviewed the assumptions but it was not
23 our place to change those assumptions or to create a
24 different forecast. It was reasonable at that time
25

1 LGS-29, 30 and 31.

2 COMMISSIONER CLARK: Yes. Mr. Keating, I
3 have them. Now would you like them marked as
4 exhibits?

5 MR. KEATING: I'd like those marked as
6 Composite Exhibit -- what is the number?

7 COMMISSIONER CLARK: 8 is the next. LGS-29
8 through 31, which the Staff has handed out, will be
9 marked as Composite Exhibit 8.

10 (Exhibit 8 marked for identification.)

11 Q (By Mr. Keating) Mr. Schuster, could you
12 refer to the exhibit identified as LGS-29. (Pause)

13 A Yes.

14 Q Would you please review that exhibit for a
15 second and let me know if that exhibit shows in part
16 portions of Florida Power Corporation's monthly
17 surveillance reports for October 1996 and August 1997?

18 A Yes, it does.

19 Q This exhibit also contains a summary of
20 those reports prepared by Staff as the last page on
21 the exhibit.

22 Could you tell me approximately what Florida
23 Power Corporation's current debt/equity mix is as
24 appears on Florida Power Corporation's surveillance
25 reports filed with the Commission?

1 A The last page of your exhibit shows 62.07¢
2 for August of 1997.

3 Q What was it in October of 1996?

4 A 60.55¢.

5 Q How long has Florida Power Corporation's
6 equity ratio been greater than 50¢?

7 A Based on this bandout, it runs about 50¢ in
8 May of 1994.

9 Q And since that time has it continued to
10 increase?

11 A Yes, it has.

12 Q So why didn't you use an equity ratio closer
13 to Florida Power Corporation's actual equity ratio
14 when you projected the original financial values
15 represented on your Late-Filed Deposition Exhibit 7?

16 A Late-Filed Exhibit No. 7 was part of the
17 market-based generation cost forecast that was used in
18 the October 1st filing. It was prepared by a separate
19 department from Purchased Power. We were basically
20 told to use that by management because that was the
21 generation cost forecast being used at that time by
22 the company.

23 We reviewed the assumptions but it was not
24 our place to change those assumptions or to create a
25 different forecast. It was reasonable at that time

1 for the purposes we were using it.

2 Q And why didn't you use the annual cost of
3 capital rates from these projections to determine the
4 present value of the cost and benefits of the buyout
5 instead of Florida Power Corporation's current rates as
6 they are shown on Late-filed Exhibit No. 7?

7 A I'm sorry, could you repeat that question?
8 (Pause)

9 Q For each of the years on your Late-filed
10 Exhibit No. 7, why didn't you use the annual cost of
11 capital rates on that exhibit to determine the present
12 value of the cost and benefits of the buyout instead
13 of Florida Power Corporation's current rate?

14 A Are you saying use the annual values in the
15 net present value calculation?

16 Q Yes.

17 A Well, there's a different annual value for
18 each year and when you do a net present value
19 calculation you have to select one discount rate to
20 discount the entire cash flow stream. So we used the
21 approved and accepted one, which is the current
22 after-tax discount rate, after-tax cost of capital.

23 Q Couldn't you use each year's annual discount
24 rate to discount that year's dollars?

25 A I suppose you could. I've never seen that

1 done before.

2 Q I'd like to get a late-filed exhibit
3 containing a revision to your Late-filed Deposition
4 Exhibit No. 7 based on a 42%/58% debt/equity ratio. I
5 would also like to get as a late-filed exhibit a
6 revised cost-effectiveness analysis based on these
7 revised levelized annual carrying charge rates with
8 present value determined using each year's annual cost
9 of capital?

10 COMMISSIONER CLARK: Mr. Keating, I got the
11 last part of that, a revised cost-effectiveness
12 analysis. What was the first part?

13 MR. KEATING: The first part was a
14 late-filed exhibit containing a revision to
15 Mr. Schuster's Late-filed Deposition Exhibit No. 7
16 with a late-filed exhibit to be presented based on
17 42%/58% debt/equity ratio.

18 COMMISSIONER CLARK: So there are two parts
19 to that exhibit; is that correct?

20 MR. KEATING: Yes.

21 COMMISSIONER CLARK: All right.

22 Mr. Schuster, do you understand what he's asked for?

23 WITNESS SCHUSTER: I'd like to ask him to
24 repeat the second part. I was on the different
25 channel from you. I got the first and not the second.

1 **COMMISSIONER CLARK:** Okay.

2 **MR. HERRING:** On the second I would like a
3 revised cost-effectiveness analysis based on the
4 levelized annual carrying charge rates that result
5 from using the 42%/58% debt/equity ratio, and in that
6 analysis I would like the present value determined
7 using each year's cost of capital. (Pause)

8 **WITNESS SCHUSTER:** Let me just ask as a
9 point of clarification, it was in my mind over the
10 last few Q and As, but it never really came up.

11 We're really talking about two different
12 cost of capital and capitalization concepts here.
13 What's in our Engineering Economy Manual and what is
14 in Late-filed Exhibit No. 7 and what's used in the OCL
15 buyout analysis are capitalization ratios on a
16 financial basis. And by that I mean they are
17 capitalization ratios that are computed straight off
18 the balance sheet for the amount of equity and debt
19 that's outstanding on those financial statements.

20 What you've referred us to in LGS-29 is a
21 Commission basis cost of capital. And I'm going to --
22 I want to make sure we're all on the same channel
23 here. Commission basis cost of capital and cap ratios
24 are a completely different concept from financial.

25 I've never done, once again, an analysis of

1 this type using Commission basis capitalization
2 ratios. We use, for financial analysis purposes,
3 balance sheet capitalization ratios. But with that
4 clarification, I'd be happy to provide the late-filed
5 exhibits. I just want to caution you that the cap
6 ratios you're referring to here may not relate as well
7 to a financial cap ratio as they do to a Commission
8 basis cap ratio.

9 **COMMISSIONER CLARK:** Well, you know, I don't
10 understand that. Are you trying to suggest it's
11 inappropriate to use the Commission basis as opposed
12 to, I guess, an overall company basis? Why is it
13 important to make the distinction you just made?

14 **WITNESS SCHUSTER:** The distinction is that
15 they are fundamentally different concepts. What
16 you're trying to measure with the cost of capital is
17 the cost of capital for the company in the
18 marketplace, and that depends on what they have on
19 their balance sheet; the equity that they have on
20 their balance sheet, the debt they have on their
21 balance sheet.

22 So that gives you an accurate cost of
23 capital when you do it on a financial basis based on
24 the financial statements.

25 If you look at the Commission basis cost of

1 capital it includes, for example, investment tax
2 credits as a component of the cost of capital, which
3 is perfectly fine for computing a Commission basis
4 return and doing things like rate cases and
5 surveillance reports.

6 The cost of capital and the ratios may be
7 substantially different than they would be on a
8 financial basis, and, therefore, they would be
9 inappropriate to use if what you're trying to do is
10 estimate the company's cost of capital.

11 **COMMISSIONER CLARK:** Well, is it
12 inappropriate to use it for the purposes of, I guess,
13 projecting the cost of capital for the company for
14 purposes of avoided cost for this docket? Is it
15 inappropriate to do that?

16 **WITNESS SCHUSTER:** If the numbers are
17 close -- and I don't know how close or how much of a
18 difference they would make -- if numerically they were
19 close it wouldn't be inappropriate. Because you would
20 get approximately --

21 **COMMISSIONER CLARK:** What if they are not
22 close?

23 **WITNESS SCHUSTER:** If they are not close, I
24 would say it would be inappropriate. Because the
25 correct way to do the analysis is on a financial

1 basis, reflecting the actual capitalization of the
2 company and the actual cost of that capitalization in
3 the marketplace.

4 COMMISSIONER CLARK: Okay.

5 We'll identify that as Late-filed Exhibit 9.
6 (Late-Filed Exhibit 9 identified.)

7 Q (By Mr. Keating) Mr. Schuster, could you
8 turn to the exhibit that's been identified as LGS-30
9 that was handed out at the break.

10 A Yes.

11 Q That exhibit is described as the Attachment
12 to Florida Power Corporation's Response to Staff's
13 Interrogatory No. 16?

14 A Yes.

15 Q For the following questions could you please
16 refer to the table that's included in response to that
17 interrogatory?

18 A Yes.

19 Q Is it correct that Section 1 of this table
20 shows the calculation of the discount rate that you
21 used in Exhibit LGS-7 to your testimony?

22 A Yes.

23 Q And what was that discount rate?

24 A 8.67%.

25 Q Does the derivation of this discount rate

1 assume that a mixture of long-term debt and equity
2 will be used to finance a project?

3 A No, it doesn't. What we're really doing
4 with the 867 is to create a proxy for the customer's
5 discount rate. What -- your question was really true,
6 I mean the project, if you were building a project
7 that required capital investment, it would be made
8 with a mixture of debt and equity. That's the
9 conventional assumption. But in this particular
10 instance we're not talking about an investment; we're
11 talking about determining a proxy for the customer
12 cost of capital or discount rate, and that convention
13 has been to use the after-tax discount rate; in this
14 instance 8.67%.

15 Q So are you saying in your response that the
16 derivation of this discount rate does assume a mixture
17 of long-term debt and equity?

18 A Yes, it does.

19 Q Okay. If you could refer to the line titled
20 "Debt Tax Deduction Component." Does this line
21 represent the savings and income tax due to the
22 deduction of interest expense associated with
23 long-term debt financing?

24 A Yes, it does.

25 Q Is Florida Power Corporation proposing to

1 finance the OCL buyout by collecting additional
2 revenue through the fuel and purchased power recovery
3 clause and the capacity cost recovery clause?

4 A Yes.

5 Q If Florida Power Corporation's proposal to
6 finance the OCL buyout by collecting additional
7 revenue through the adjustment clause is approved,
8 will Florida Power Corporation issue any additional
9 long-term debt or equity to pay for the buyout?

10 A No.

11 Q Then if Florida Power finances the OCL
12 buyout by collecting additional revenues from
13 ratepayers through the adjustment clauses, is there
14 any long-term debt or associated interest expense?

15 A No.

16 Q So in your determination of the discount
17 rate on this exhibit was it appropriate to deduct a
18 debt tax deduction component from the composite cost
19 of capital on this table if FPC will not issue any
20 additional debt and will not have any additional
21 interest expense for the contract buyout?

22 A Yes, it is.

23 Q Could you please explain why?

24 A The reason is that that -- that tax
25 adjustment is required in order to develop the correct

1 after-tax discount rate to use in this type of an
2 analysis.

3 The best example that I can give you is that
4 when you do what's referred to as a levelized fixed
5 charge rate, if you take nonlevelized revenues for a
6 project, or Florida Power in total, and you want to
7 levelize these revenues, it can be proved that the
8 discount rate that must be used to move those revenues
9 from one period to another is the after-tax discount
10 rate. Putting aside what type of a project or an
11 analysis you're doing in a theoretical -- from a
12 theoretical standpoint, you must use the after-tax
13 discount rate to get the right answer.

14 And that's exactly what we've done in this
15 instance here. We're present valuing what could be
16 described as revenue requirements to customers. We're
17 moving them from period-to-period.

18 Theoretically, and technically, the correct
19 discount rate to use to move those dollars from
20 period-to-period is the after-tax discount rate.

21 Q At Page 5 of Florida Power Corporation's
22 protest of the Commission's FAA order Florida Power
23 Corporation stated that the amendment to the OCL
24 contract will provide net savings of over \$400 million
25 to Florida Power and its customers, and will mitigate

1 exposure to Florida Power and its customers to
2 potentially strandable costs in the future. Is it
3 correct then that Florida Power Corporation believes
4 that PURPA-related costs will fall within the category
5 of stranded costs?

6 A I apologize, but I'm going to have to ask
7 you to reask or rephrase that question.

8 Q At Page 5 of Power Corporation's protest of
9 the Commission's FAA order it was stated that the
10 amendment to the OCL contract will provide net savings
11 of over \$400 million to Florida Power and its
12 customers, and will mitigate exposure of Florida Power
13 and its customers to potentially strandable costs in
14 the future.

15 Is it correct then that Florida Power
16 Corporation believes that PURPA-related costs will
17 fall within the category of stranded costs?

18 A Yes, I think that's generally a correct
19 statement.

20 The petition talked about the potential for
21 stranded costs, and I think we were just making that
22 reference in order to be inclusive of that issue and
23 that concern.

24 I don't think you can say definitively
25 whether PURPA costs would be stranded or not. It

1 depends on the particular contract as to whether or
2 not they were stranded or not. A very economical QF
3 contract might be at or below market and, therefore,
4 not be stranded.

5 Q Are you aware of legislation, or proposals
6 in any state, that allow recovery of stranded costs?

7 A Yes.

8 Q And are PURPA-related costs included in the
9 definition of stranded costs in any of those
10 proposals?

11 A Yes. I believe they are included in some of
12 those proposals.

13 Q If in a deregulated environment Florida
14 Power Corporation and other electric utilities are
15 guaranteed recovery of stranded cost, including
16 PURPA-related costs, either through exit fees or
17 transition charges, what risk is there to Florida
18 Power that these costs won't be recovered?

19 A Well, there wouldn't be any risk if that
20 were the case.

21 COMMISSIONER CLARK: I'm sorry. Would I
22 repeat that question?

23 MR. HENSING: If in a deregulated
24 environment Florida Power Corporation and other
25 electric utilities are guaranteed recovery of stranded

1 costs, including PURPA-related costs, would there be
2 any risk to Florida Power Corporation that these costs
3 wouldn't be recovered?

4 **COMMISSIONER CLARK:** Thank you. And your
5 answer was?

6 **WITNESS SCHUSTER:** There wouldn't be any
7 risk. If they were guaranteed, the risk would be
8 zero.

9 **Q** (By Mr. Keating) Where stranded costs have
10 been quantified, to your knowledge have they been
11 determined on a specific contract basis or individual
12 generating station basis, or have they been determined
13 on utility-wide basis accounting for the utility's
14 high as well as its low power costs.

15 **A** I believe they have been determined on both
16 bases.

17 **Q** Has Florida Power Corporation determined
18 what its projected total costs of providing power
19 would be in a restructured industry after recognizing
20 its PURPA contracts and its generation resources?

21 **A** Florida Power has attempted to develop
22 estimates of those costs and potentially strandable
23 costs, yes. (Pause)

24 **Q** Could you provide as a late-filed exhibit
25 Florida Power Corporation's projections of those

1 costs?

2 **MR. HOGAN:** Madam Chairman, this raises some
3 concerns, one having to do with the at least potential
4 for sensitive and confidential nature of that
5 material. I wouldn't want to interfere with Staff
6 receiving the information that they really think is
7 necessary to do their evaluation, I'm just questioning
8 whether --

9 **COMMISSIONER CLARK:** You're asking for their
10 estimate of their potentially stranded cost? And how
11 is that going to help you in your analysis of the
12 case? Think about whether you need it.

13 **Mr. Keating, do you have more questions?**

14 **MR. KEATING:** Yes, I do.

15 **COMMISSIONER CLARK:** All right. We'll come
16 back to that. Let's finish up and then we'll come
17 back and it will give you an opportunity to talk to
18 Staff. After you have had that opportunity, we'll
19 discuss it.

20 **Q** **(By Mr. Keating) Mr. Schuster, on Pages 12**
21 **to 16 of your direct testimony you discuss the effects**
22 **of the OCL contract buyout on intergenerational**
23 **fairness. What do you understand the concept of**
24 **intergenerational fairness to mean as it relates to**
25 **electric utility regulation?**

1 **A** It has to do with the pattern over time of
2 how costs are recovered from an individual project or
3 a group of projects, up to and including the overall
4 rate structure of a utility.

5 **Q** Would you agree that intergenerational
6 fairness involves ensuring that costs befalling one
7 generation of customers are matched with achievable
8 benefits?

9 **A** Yes.

10 **Q** Considering that the OCL buyout costs are to
11 be recovered over the next five years as the buyout is
12 currently structured, are the costs of the buyout
13 being recovered consistent with the time period within
14 which the benefits accrue?

15 **A** No, they are not.

16 **Q** Have you reviewed any demographic
17 information on Florida Power Corporation's customer
18 base?

19 **A** Yes, I have.

20 **Q** Have you reviewed the percentage of Florida
21 Power Corporation customers falling within a
22 particular age group?

23 **A** No.

24 **Q** During your deposition Public Counsel asked
25 you several questions concerning what would constitute

1 a good deal according to Florida Power Corporation.

2 Do you recall that line of questioning?

3 A Yes, I do.

4 Q Do you believe that there's some level of
5 net present value savings below which this buyout
6 would not be a good deal?

7 A Yes.

8 Q Do you recall that Mr. Howe asked you
9 several questions about whether Florida Power
10 Corporation was willing to fund the buyout in return
11 for being allowed to retain all of its savings?

12 A Yes.

13 Q In your deposition you stated that under
14 this condition you wouldn't consider \$10 million of
15 net present value savings to be a particularly good
16 deal; is that correct?

17 A Yes.

18 Q And did you also state that you didn't
19 believe that \$10 million of net present value savings
20 would be a particularly good deal for Florida Power
21 Corporation's customers with the customers funding the
22 buyout?

23 A Yes. I believe I answered that question
24 both with respect to the company and the customers as
25 you've described.

1 **Q** So if a base case, middle-of-the-road
2 cost-effectiveness analysis demonstrated that the OCL
3 contract buyout was projected to result in only
4 \$10 million of net present value savings, would you
5 recommend to Florida Power Corporation management to
6 pursue that buyout?

7 **A** Probably not. But I can't say for certain
8 whether the answer would be yes or no.

9 In the deposition I was asked to provide
10 ranges, and I think I provided -- said below
11 10 million it wouldn't be a particularly good deal and
12 it would be questionable. I think I mentioned a range
13 of above 20 million where it becomes a relatively good
14 deal; one that you wouldn't have much question about.
15 And it was -- it wasn't to define a particular number
16 but just to indicate relative to zero NPV, or relative
17 to wherever the number fell, what ranges would appear
18 to be good versus marginal.

19 **Q** But since you project the buyout to result
20 in 30 million-plus dollars of net present value
21 savings, you believe this is a good deal?

22 **A** Yes, I do.

23 **Q** Did your analysis give any consideration to
24 the timing of the savings?

25 **A** Yes. What consideration did you give to

1 that matter? We considered it in a number of
2 respects. In the first respect the original offer
3 from OCL was for a five-year buyout that would only
4 take out the last five years of the contract. In
5 recognition of the timing difference, we suggested to
6 OCL a ten-year buyout which would begin to derive
7 savings for the customers five years sooner and we
8 were able to negotiate a ten-year buyout. That was
9 our first recognition of the timing difference.

10 When we presented the proposal to the
11 Commission for approval, we mentioned and have
12 continued to stress that with respect to the timing it
13 is not ideal. We would prefer to have better timing
14 but because of the nature of open contracts, if
15 you're going to make some progress in reducing costs
16 and reducing the burden of these contracts to
17 customers, you don't have as much flexibility as we'd
18 like to have. We have to go out to the back end of
19 the contract in order to strike deals that really make
20 sense; that can provide savings on the order of
21 magnitude of half a billion dollars, as it is in this
22 case.

23 One additional point: We believe very
24 strongly that intergenerational equity and the timing
25 of the payments should not be considered on an

1 incremental basis. You need to take a step back and
2 look at the layers below that. In particular, the OCL
3 contract has timing differences in the cost to the
4 customer that results in the fact that current
5 customers are not paying their fair share and
6 customers out at the end of the contract are going to
7 pay a substantially higher price for power from this
8 contract. The point we've made again and again is
9 that the buyout represent as incremental adjustment to
10 that contract, which in combination, improves the
11 timing of the overall cost of this contract to
12 customers, and makes it fairer in terms of cost
13 recovery versus benefit than the existing contract
14 does.

15 Q Could you explain why the OCL contract was
16 priced based on the value of deferral methodology?

17 A Yes. It basically recognizes an escalation
18 rate in capacity payments similar to what I described
19 when I referred to the May 1996 cost forecast. It
20 recognizes that generation will become more expensive
21 in the future and it adjusts the capacity payment
22 stream to basically, you know -- one viewpoint would
23 say that it represents a market price of generation
24 capacity, going forward in time, rather than a
25 constant cost or a declining cost as would result from

1 traditional ratemaking.

2 It also is designed to provide an incentive
3 to suppliers to supply their power and keep their
4 capacity in place over the life of the contract.

5 Q At what rate do the time capacity payments
6 under the contract escalate through time?

7 A Approximately 6%.

8 Q Is that the avoided unit's capital cost
9 escalation rate assumed at the time the contract was
10 originally approved?

11 A Yes, it was.

12 Q Assuming that inflation stays near today's
13 rate of approximately 3%, if we were to look at the
14 OCL contracts capacity payments in real terms as
15 opposed to nominal terms, that is to remove the
16 effects of inflation, would that tend to flatten out
17 the payment stream over the term of the contract?

18 A Yes. The payment stream on a real basis
19 deflated for inflation would still increase, but they
20 would increase less than they do on nominal terms.

21 Q Also looking at that payment stream in real
22 terms, wouldn't the capacity payments made by today's
23 customers more closely match those payments made by
24 future customers?

25 A They would be closer, but because on a real

1 basis they still increase by approximately 3% per
2 year, the payments at the back end of the contract
3 would be substantially larger than the payments in the
4 near term.

5 Q Would you agree that costs under the
6 traditional revenue requirements method of recovery
7 are more front loaded than the value of deferral
8 method used in the OCL contract?

9 A Yes.

10 Q Then if we were to look at capacity payments
11 under the traditional revenue requirements, under the
12 traditional revenue requirements method in real terms
13 wouldn't the capacity payments made by today's
14 customers still be much larger than those payments
15 made by future customers?

16 A Yes, they would be.

17 Q What is the net present value to Florida
18 Power Corporation of the buyout payment streams, the
19 total \$49.4 million, in nominal terms?

20 A You're saying the net present value to
21 Florida Power?

22 Q I'm sorry, to the customers.

23 A 40,411,000.

24 Q So is OCL receiving nominal payments of
25 \$49.4 million but in real terms they are receiving

1 payments of 40,400,000; is that correct?

2 A Yes, in real terms, according to this
3 calculation.

4 Q What discount rate was used to determine the
5 net present value of payments, or the \$40.4 million?

6 A 8.67%.

7 Q Do you recall that in your deposition Staff
8 asked a series of questions regarding Florida Power
9 Corporation's willingness to spread out recovery to
10 buyout payments over more than five years?

11 A Yes.

12 Q At the deposition did you indicate there
13 were no specific plans to spread out recovery over a
14 period greater than five years because this has not
15 been discussed with management?

16 A Yes.

17 Q Since then have you discussed spreading out
18 recovery of the payments?

19 A No.

20 Q What would be an acceptable range of years
21 over which the recovery could be spread?

22 A Acceptable to who?

23 Q To Florida Power Corporation.

24 A I don't know.

25 Q Would it be acceptable to spread payments --

1 I'm sorry, would it be an acceptable range -- would 26
2 years, the term of the contract, be an acceptable
3 range of years over which recovery could be spread?

4 A No.

5 Q Why not?

6 A Well, it depends on your underlying
7 assumptions, but the analysis shows that if the party
8 making the initial buyout payments over five years
9 were to capture the savings from the transaction, they
10 would get their money back in less than 26 years. And
11 that would be under terms that would be transparent to
12 the customer.

13 If that's the case, to stretch them out
14 beyond the term when you could recover these dollars
15 from the customers, I don't know what purpose that
16 would serve.

17 COMMISSIONER CLARK: What do you mean beyond
18 the period of time you could recover them from the
19 customers?

20 WITNESS SCHUSTER: Excuse me, I'm falling
21 back to the prior discussion where it was claimed that
22 if Florida Power funded the initial buyout costs, they
23 could get their money back in approximately 22 years.
24 And putting aside what entity does that, whether it's
25 Florida Power, the customers or whoever, if the

1 mechanics work that way, or approximately that way,
2 and I agreed earlier that you could get your money
3 back before the end of the term of the contract, there
4 would be no justification whatsoever for stretching
5 the recovery out over the full term of the contract.
6 In effect, in order to do that, you would give
7 customers a lower cost due to this contract than even
8 the buyout provides. You would be subsidizing
9 customers for some period in order to delay the
10 recovery of the buyout costs, if I understand
11 Mr. Keatings' question correctly.

12 **COMMISSIONER CLARK:** Go ahead, Mr. Keating.

13 **Q** (By Mr. Keating) If the recovery of the
14 buyout costs was approved over a period longer than
15 five years, how would Florida Power Corporation
16 finance the buyout?

17 **A** I don't know. And let me reiterate that
18 Florida Power pursued this transaction, negotiated it
19 with OCL, had it approved by management and brought it
20 to the Commission for approval by this body.

21 We have not analyzed or considered or
22 discussed any of the type of alternative structures
23 that you're proposing, so I don't know how it would
24 work or whether it would be acceptable.

25 **COMMISSIONER CLARK:** Let me just be clear.

1 Under the negotiations you had with OCL, it provides
2 for a five-year buyout, you pay them over five years?

3 WITNESS SCHUSTER: Yes.

4 COMMISSIONER CLARK: All right.

5 COMMISSIONER CLARK: Yet for the Tiger Bay,
6 you made an up-front payment of \$45 million, right?

7 WITNESS SCHUSTER: \$445 million plus a few
8 extra million, yes.

9 COMMISSIONER CLARK: Even though you paid it
10 you're going to -- you paid it to the entities you
11 contracted with, you're going to receive that from the
12 ratepayers over a period of time. Now come you did it
13 for that one and not for this one? Now come you were
14 willing to do it for that one and not for this one?

15 WITNESS SCHUSTER: For several reasons.
16 First, because the Tiger Bay transaction was one in
17 which there were immediate savings. We could start to
18 pay off that cost immediately and work it down. At
19 the time that the Tiger Bay buyout was approved, we
20 estimated that we could retire the entire cost of the
21 buyout of the contracts by 2006, and we were hoping to
22 do it sooner than that. But the balance that we
23 financed in July of this year has started to come down
24 already based on the mechanics of the stipulation that
25 was signed, and it will continue to be reduced over

1 time to amortize that regulatory asset.

2 That's not the case with the OCL buyout. If
3 Florida Power were to finance this transaction, they
4 would establish a regulatory asset that would sit
5 there until 2014.

6 COMMISSIONER CLARK: So the difference being
7 in one the regulatory asset is probably going to go
8 away in 2008 and the other it's 2014.

9 WITNESS SCHUSTER: Start to go away in 2014.
10 So one of the things we had to do in Tiger Bay was to
11 get ourselves comfortable that our auditors would
12 approve that type of a balance sheet transaction as a
13 regulatory asset. Because of the timing and the
14 circumstances of Tiger Bay, we felt comfortable with
15 that.

16 OCL is much different and we haven't asked
17 that question and researched it, but I suspect that
18 the answer would not be affirmative. That's the first
19 reason.

20 COMMISSIONER CLARK: Your auditors wouldn't
21 allow you to treat this as a regulatory asset. Is
22 that what it turns on, whether it gets treated as a
23 regulatory asset?

24 WITNESS SCHUSTER: I have two or three other
25 reasons I want to explain. But one consideration --

1 see if the auditors don't approve this as a balance
2 sheet item, we would have to take about a \$50 million
3 charge to earnings.

4 COMMISSIONER CLARK: Okay. For purposes of
5 your financial reporting --

6 WITNESS SCHUSTER: Right.

7 COMMISSIONER CLARK: -- you believe they
8 might not allow it as a regulatory asset. What if we
9 approved it as a regulatory asset?

10 WITNESS SCHUSTER: That may or may not
11 persuade the auditors. So that's point No. 1. Point
12 No. 2 is that in the Tiger Bay transaction we work
13 very hard with the parties to the transaction and the
14 parties to the Commission proceeding to create a
15 stipulation before we came to hearing. We work back
16 and forth; we came up with a structure that we thought
17 all of the parties could agree to. We took it back to
18 our management. We took it back to our accounting
19 department, our tax department, our legal department
20 and made sure it would work and then we brought it to
21 the Commission as a deal that Florida Power was
22 prepared to do and that the other parties to the
23 docket were prepared to live with. We haven't done
24 anything like that here. We only have one deal on the
25 table, and it's the deal that Florida Power and OCL

1 negotiated and brought into this proceeding, hopefully
2 for approval. Well, I thought you said they
3 originally proposed five years and you went back to
4 them and said that's not enough. It sounds like
5 you've done the same sort of negotiating. We did
6 exactly that on the term of the buyout and that
7 happened in early well -- mid-1996 over a year ago.
8 But that was part of the RFP process we conducted last
9 year. Looking ahead to the potential approval of this
10 transaction we felt that a ten-year buyout would save
11 the customers more money, and because it advanced the
12 time period when savings would start, would be more
13 palatable and more acceptable as a proposal; and we
14 had the option to make that change early on and we
15 did. If you would just answer for me why you felt it
16 was not appropriate in this case to do the same thing
17 that you've done in Tiger Bay, just very succinctly.
18 Very succinctly. Okay. Two reasons I mentioned
19 already, is the auditor problem with a regulatory
20 asset outstanding for a long time. The second reason
21 being that we haven't created a stipulation that would
22 have that kind of structure. And the third reason,
23 which I feel is material and it would impact our
24 management, is that this is coming on the heels of
25 Tiger Bay. We have already created a regulatory asset

1 of nearly a half a billion dollars and we have
2 financed that on Florida Power's books.

3 There's a limit to how much of that you can
4 do. We felt the Tiger Bay transaction was a
5 tremendous opportunity for the customers, and we were
6 willing to get up and step up to the plate and finance
7 that.

8 COMMISSIONER CLARK: Okay.

9 WITNESS SCHUSTER: This -- you know, you'd
10 have to stop somewhere.

11 COMMISSIONER CLARK: All right. Go ahead,
12 Mr. Keating.

13 Q (By Mr. Keating) Mr. Schuster, what would
14 be the potential benefits to ratepayers spreading
15 costs over a time period greater than five years?

16 A Well, it would reduce the near term cost of
17 the buyout to ratepayers.

18 Q If debt were issued to finance a buyout with
19 a recovery over five years, would the payment on this
20 debt appropriately be recovered via fuel and capacity
21 clauses in the ratios recommended by Florida Power
22 Corporation?

23 A I'm sorry, I'm not understanding your
24 question. If the recovery is over five years there
25 would be no need to issue debt to finance the buyout.

1 **COMMISSIONER CLARK:** I thought his question
2 was if it were over ten years? Is that what you
3 asked?

4 **MR. HERTING:** No. The question was over
5 five years.

6 **COMMISSIONER CLARK:** All right.

7 **Q** (By Mr. Keating) I'm sorry, when I say
8 over five years I mean greater than five years. Does
9 that change your answer?

10 **A** I apologise. Would you read me -- would you
11 let me have the question one more time.

12 **Q** Sure. If debt were issued to finance a
13 buyout, would recovery greater -- over greater than a
14 five-year period, would the payments on this debt
15 appropriately be recovered via fuel and capacity
16 clauses in the rates recommended by Florida Power
17 Corporation?

18 **A** Yes.

19 **Q** Would recovering such costs result in
20 greater or lesser net present value savings to
21 ratepayers than recovery over a five-year period?

22 **A** Well, assuming that we could finance it at
23 an interest rate less than the discount rate I believe
24 the savings would be greater.

25 **Q** If buyout cost recovery was arranged to

1 occur over a period of greater than five years, would
2 customers' rates decrease or would they stay the same?

3 A Are you asking that in relation to a
4 five-year recovery?

5 Q Over a period of greater than five years.

6 A But compared to what?

7 Q In relation to a five-year period.

8 A Well, assuming that the transaction is done,
9 recovery over more than five years would result in a
10 smaller rate increment to recover the buyout costs
11 than if the recovery were made over five years.

12 Q So customer rates would decrease over the
13 next five years, or over the first five years, and
14 then increase with the following years?

15 A They would be -- they would be lower than if
16 the buyout were undertaken over a five-year period.

17 Q Okay. Would increasing the recovery period
18 of the buyout costs reduce the possibility for
19 intergenerational inequities to occur by matching the
20 timing of benefits and cost?

21 A Yes, it would have that effect to a very
22 slight extent. It would reduce the period of time
23 between the occurrence of the cost and the recognition
24 of the benefits.

25 Q You stated at your deposition that under

1 your proposal the payments to OCL would be matched by
2 ratepayers through fuel clause revenues; is that
3 correct?

4 A Yes, I did. And let me qualify that.

5 Florida Power began making payments to OCL
6 pursuant to this buyout transaction at the beginning
7 of 1997, and bearing in mind that this was filed with
8 the Commission last October and the deal was signed
9 prior to that, the original expectation was that we
10 would get Commission approval and begin recovering
11 these costs from customers very shortly after the
12 beginning of 1997.

13 The agreement has remained in place in spite
14 of the fact that the regulatory approval by this
15 Commission has been delayed from what we originally
16 expected.

17 Florida Power has continued to make the
18 payments according to the terms of the buyout and we
19 would plan to get back in synchronization after
20 approval.

21 Q As a result of any mismatches in the timing
22 of payments to OCL and fuel clause recovery, would
23 there be an interest rate calculation payment to
24 Florida Power Corporation based on the normal
25 mechanics of the fuel clause?

1 **A** Yes, there would.

2 **Q** What is the interest rate that applies to
3 the fuel clause revenues?

4 **A** It's a commercial paper rate. I believe
5 it's probably in the 5 to 6% range. I don't know the
6 exact rate currently.

7 **Q** Could you now please turn to the exhibit
8 identified as LGS-31? And that includes your response
9 to Staff Interrogatory No. 7.

10 **A** Yes.

11 **Q** As requested by Staff you depicted in the
12 graph the annual cumulative net present value of
13 ratepayers' savings associated with Florida Power
14 Corporation's buyouts and settlement agreements for
15 each of the Florida Power Corporation OF buyouts
16 recently considered by this Commission, including
17 Pasco, Lake, Auburndale and Orlando Cogen; is that
18 correct?

19 **A** Yes.

20 **Q** At your deposition you indicated that it was
21 not appropriate to consider the cumulative net present
22 value of the combined pricing settlement and buyout
23 for OCL; is that correct?

24 **A** Yes.

25 **Q** Why is that?

1 **A** Because -- well, for a number of reasons.
2 It's an apples and oranges mixture.

3 The OCL settlement, as a result of the
4 pricing dispute, was completed, approved and is now
5 final. The OCL buyout is a completely separate
6 stand-alone deal that is available as an opportunity
7 to Florida Power. I think it's inappropriate to
8 create a total transaction out of two things that have
9 no relationship to each other.

10 **Q** So you would consider it more appropriate to
11 consider a comparison of the various QF buyouts
12 without including the pricing settlements?

13 **A** I would consider it more appropriate but I
14 feel there are risks even in making that comparison.

15 **Q** Reviewing your graph, which of the lines
16 depicting cumulative net present values of the
17 individual QF buyouts shows the greatest combination
18 of risk and return?

19 **A** I'm sorry, I don't know how to answer your
20 question.

21 **Q** Which of these is riskiest to the ratepayer?

22 **A** By what measure?

23 **Q** If I could have just a minute. (Pause)

24 **COMMISSIONER CLARK:** Well, Mr. Schuster
25 which one is riskier in the sense that the ratepayers

1 might never realize the savings?

2 **WITNESS SCHUSTER:** Well, by that measure the
3 project which provides savings to the customer last
4 would be the Auburndale transaction; that's the last
5 line to cross over the zero point.

6 **COMMISSIONER CLARK:** But they are not paying
7 as much up front, are they?

8 **WITNESS SCHUSTER:** As much as OCL, no, they
9 are not.

10 **COMMISSIONER CLARK:** So why I guess --
11 Auburndale is the one that poses the highest risk to
12 the customers that they will not realize savings.

13 **WITNESS SCHUSTER:** Well, yeah, by the
14 measure you described as far as --

15 **COMMISSIONER CLARK:** And what was that
16 measure?

17 **WITNESS SCHUSTER:** As I understood it for
18 which one do you wait the longest for the savings to
19 occur?

20 **COMMISSIONER CLARK:** Well, which one do you
21 think poses the greatest risk that they will not
22 realize savings?

23 **WITNESS SCHUSTER:** (Pause) I apologize.
24 The problem I'm having answering the question is the
25 recognition in my mind that the Auburndale, Pasco and

1 Lake buyouts are embedded in larger transactions where
2 there was a pricing settlement, and the actual
3 cost/benefit stream to the customer is different from
4 what they appear here.

5 The other concern I have is that these, as I
6 mentioned a couple of questions ago, I don't feel that
7 these are directly comparable because Auburndale,
8 Pasco and Lake were buyouts that were done in
9 combination with energy pricing dispute settlements.
10 And both of the parties to the transactions recognized
11 that it was a package deal and they probably wouldn't
12 have done each piece of the transaction the same way
13 if they had been separated.

14 COMMISSIONER CLARK: I guess what I -- that
15 response to me suggests that that's a justification
16 for the way the deal was structured; not an answer to
17 which one poses the most risk to the customers in
18 terms of ultimately realizing savings.

19 Why isn't it Orlando Cogen, because there's
20 more up-front costs they pay and it's later they would
21 realize the benefit. It strikes me that that -- that
22 poses the most risk to them. You apparently don't
23 agree.

24 WITNESS SCHUSTER: Well, it's not that I
25 don't agree. It's that this is a difficult question.

1 And that's why I ask the question back, by what
2 measure? Because the way I would look at this is that
3 the -- there's two measures -- just having nothing to
4 go on but this graph, there's two measures I would
5 consider would be risky: One is the degree to which
6 the costs go negative before they turn around, and the
7 second is how positive they are at the end. A third
8 one would be the crossover point.

9 The project that has the largest cost before
10 it turns around is the Pasco project. Now, it does
11 cross over earlier than OCL, but it's not as great at
12 the end; Pasco stops at about 10 million, OCL goes up
13 to 30.

14 So if you're weighting -- it depends on how
15 you weight these things. I could say that Pasco is
16 very risky because it has the same cost up front,
17 about 40 million, before it turns around, but it only
18 provides a third of the benefits that OCL does. So
19 it's not a black and white issue in my mind.

20 COMMISSIONER CLARK: Go ahead, Mr. Keating.

21 Q (By Mr. Keating) Mr. Schuster, could you
22 refer to the exhibit marked as LGS-24, or previously
23 identified as LGS-24, Page 36.

24 A Yes.

25 Q Okay. That exhibit is your Late-filed

1 Exhibit No. 13 to your deposition; is that correct?

2 A Yes.

3 Q Could you tell me which of the -- which of
4 the buyouts as shown on this -- which of the
5 cumulative buyout settlement agreements shown on this
6 graph appears to be the most risky?

7 A I can tell you which one is the least risky.
8 Excuse me.

9 Q How do you determine which one is the least
10 risky?

11 A The Auburndale buyout that just starts good
12 and just gets better.

13 Seriously -- by this measure, once again I
14 consider it to be a quandry. Here again, even
15 combining the settlements in the early termination,
16 OCL goes the furthest negative but it also goes the
17 furthest positive.

18 Q So could we analogize what we see here on
19 this exhibit, the line graph of OCL to an aggressive
20 mutual fund? You can get high returns -- there's a
21 lot of risk involved in it. If you've got the risk of
22 very low returns or negative returns or very high
23 returns.

24 A I would agree with that analogy, with the
25 qualifications that -- the same qualification I raised

1 earlier, that this is an apples and oranges
2 comparison. It's comparing the OCL line represents
3 one transaction from the past that's over and done
4 with in combination with the proposed transaction that
5 we're discussing here today.

6 I think it's much more appropriate to look
7 at the proposed transaction here today on a
8 stand-alone basis rather than to muddle it up with
9 historical data.

10 Q Let me go on. If the risk associated with
11 OCL was considered to be greater, as are the rewards,
12 what does that say about the relative level of
13 intergenerational equity between the OCL buyout and
14 the other buyouts? And that is, again, assuming that
15 the risk for the OCL buyout is greater.

16 A I'm not sure there's -- there's a
17 correlation between those two things, but the risk --
18 the intergenerational has to do with the timing of the
19 payments and the crossover point. The risk includes
20 that, plus other things. So I would say there's a
21 correlation between risk and intergenerational effects
22 but not a one-to-one correlation.

23 Q Which of the buyouts do you believe is
24 likely to result in the greatest level of
25 intergenerational inequity?

1 **A** Well, I can't really tell that from this
2 **Late-filed Exhibit No. 13** because it's combined
3 **buyouts and energy pricing settlements.**

4 **Q** What if we go back, then, to LGS-31, your
5 **response to Staff's Second Set of Interrogatories**
6 **No. 7?**

7 **A** Okay.

8 **Q** Based on that graph, which of the buyouts do
9 **you believe is likely to result in the greatest level**
10 **of intergenerational inequity? (Pause)**

11 **A** It's difficult to answer that question
12 **because each of the buyouts is, as I would judge,**
13 **intergenerational inequity is actually reducing**
14 **intergenerational inequity relative to the contracts**
15 **that the buyouts apply to. All of these buyouts are**
16 **moving dollars over time periods that compensate for**
17 **the intergenerational inequity, if you will, of the**
18 **underlying contract, so they all serve to mitigate**
19 **intergenerational inequity.**

20 **Q** So which would you say mitigates
21 **intergenerational inequity the least?**

22 **A** Honestly, I don't know. I haven't looked at
23 **these four contracts from that perspective, and I**
24 **don't know how to measure a degree of**
25 **intergenerational equity to the precision that your**

1 question requires.

2 Q Would you agree that the extended ratepayers
3 savings associated with the OCL buyout result in the
4 greatest level of intergenerational among these
5 buyouts?

6 A I didn't catch the very last part of that,
7 intergenerational what?

8 Q Would result in the greatest level of
9 intergenerational inequity among these buyouts?

10 A No, I wouldn't. Because I think it's
11 appropriate to view intergenerational inequity, as I
12 mentioned in my summary of my testimony, not on an
13 incremental basis looking just at the buyout payments,
14 but to look at them in combination with the existing
15 contract.

16 Q What's the effect on risk to ratepayers if
17 part of the buyout costs are funded through existing
18 base rates rather than through the cost recovery
19 clause?

20 A Would you repeat that question, please?

21 Q Could you tell me what the effect is on risk
22 to ratepayers if part of the buyout costs are funded
23 through existing base rates rather than through the
24 cost recovery clause?

25 A The risk to ratepayers would be reduced

1 under your -- the situation you describe because it
2 would effectively result in the nonrecovery of a
3 portion of the buyout costs from Florida Power's
4 perspective.

5 Q Would you agree that if this buyout is
6 approved, ratepayers would be assuming all of its
7 financial risks?

8 A Yes, I would, and they would also accrue all
9 of the benefits of the transaction as well.

10 Q Why shouldn't Florida Power Corporation
11 stockholders also be accountable for the risk involved
12 in this transaction?

13 A Because the savings from this transaction
14 will reduce customer cost by approximately a half
15 billion dollars in the future.

16 Our investors are not a party to this
17 transaction; they are not in their posture as
18 investors purchasing power from Florida Power, so they
19 have no participation in this transaction. They
20 shouldn't bear any risk.

21 Q If the buyout is approved, would Florida
22 Power be willing to make its stockholders accountable
23 for part of the risk?

24 A No, they would not.

25 MR. KERTINS: Staff has no more questions.

1 **COMMISSIONER CLARK:** Thank you.

2 **Mr. Keating,** you asked for a late-filed exhibit on
3 potential stranded costs. Do you still need that?

4 **MR. KEATING:** No. We withdraw that request.

5 **COMMISSIONER CLARK:** All righty. Redirect,
6 **Mr. McKee.**

7 **REDIRECT EXAMINATION**

8 **BY MR. MCGEE:**

9 **Q** I just have a couple of questions.

10 **Mr. Schuster,** you have been asked several
11 questions premised on the Commission approving
12 something that varies from the proposal that Florida
13 Power has put before the Commission through its
14 petition that we're here on today.

15 Is there anything that the Commission can
16 approve other than the proposal that we have before us
17 that's reflected in the OCL contract amendment?

18 **A** No, there's not. The proposal for the
19 buyout is described in the amendment to the contract,
20 and the terms of that transaction have been agreed to
21 by the parties and that's the only transaction that's
22 available for approval.

23 **Q** And does that amendment provide that it
24 will -- that its effectiveness will cease if
25 Commission approval is not given for it?

1 **A** Yes.

2 **Q** Not given to it, excuse me.

3 **A** Yes.

4 **COMMISSIONER CLARK:** Let me ask you a
5 question. Suppose we say it's okay but you've got to
6 do a longer buyout period; we'll allow you to recover
7 it over a longer period. You could go back and you
8 could decide that's fine with you, and if OCL agrees
9 to it -- I mean if they get their's in five years and
10 yet we suggest they will be approved if you recover it
11 in rates over ten years, you could decide to do that,
12 couldn't you?

13 **WITNESS SCHUSTER:** Yes, possibly we could.

14 **MR. McNEE:** My only point was that wasn't
15 the only deal that's on the table.

16 **COMMISSIONER CLARK:** I understand that.

17 **Q** (By Mr. McNea) Mr. Howe asked you some
18 questions about the risk that OCL incurs because of
19 potential increases in the cost of natural gas, and
20 focusing on the risks that might exist after the
21 current contract expires.

22 Do you know if the OCL contract gives them
23 the opportunity to reduce their output during off-peak
24 periods and, thereby, minimize the risk that might be
25 associated with higher gas prices?

1 **A** **Yes. The contract has those types of**
2 **provisions in it. They are only required to maintain**
3 **an on-peak capacity factor, so if they found**
4 **generation to be marginally economic or uneconomic,**
5 **they could back down during off-peak periods and**
6 **substantially reduce that exposure.**

7 **Q** **You were also asked some questions on the**
8 **general subject of intergenerational fairness, in**
9 **particular a question I believe was from Mr. Howe,**
10 **where you indicated that customers leaving the Florida**
11 **Power system within the next 22 years would not**
12 **receive a benefit from the OCL buyout proposal.**

13 **What I'd like to ask you is whether**
14 **customers who might leave the Florida Power system on**
15 **or before the end of 2001 when the buyout payments**
16 **would be completed, whether they would be harmed in**
17 **any way because of the overall OCL contract including**
18 **the buyout?**

19 **A** **No. When you take a step back and you look**
20 **at the OCL contract in combination with a buyout,**
21 **those costs, as we indicated in a interrogatory**
22 **response to Staff, are below the cost if Florida Power**
23 **had provided this capacity through the alternative,**
24 **that being a coal unit. So even if the buyout**
25 **transaction were completed, customers in the near term**

1 are better off than if the OCL contract had never been
2 signed.

3 COMMISSIONER CLARK: But they are not better
4 off if -- they will pay more under the amendment in
5 the next five years than they would have under the
6 existing contract?

7 WITNESS SCHUSTER: Yes, that's exactly true.
8 And that's because the existing contract doesn't
9 recover enough money in the near term commensurate
10 with the capacity that's being provided to our
11 customer base.

12 COMMISSIONER CLARK: Okay. If you had been
13 providing it.

14 WITNESS SCHUSTER: Right.

15 MR. HOWE: I think that's all I have.

16 COMMISSIONER CLARK: Exhibits.

17 MR. HOWE: Move the admission of composite
18 Exhibit 1.

19 COMMISSIONER CLARK: Mr. Howe? Did you want
20 to identify those?

21 MR. HOWE: Yes. The exhibits within
22 Composite Exhibit 1 that I would object to are
23 Exhibits 1, 3, and 4 as relating to my prior
24 objection.

25 COMMISSIONER CLARK: All right. That is

1 noted for the record.

2 COMMISSIONER CLARK: All right. Exhibit 2.

3 MR. HOWE: I would move the admission of

4 Exhibit 2 and I will withdraw Exhibit 3.

5 (Exhibit 3 withdrawn.)

6 MR. HOWE: Can I have one moment? I'm

7 having a little difficulty locating that. (Pause)

8 We have no objection to the admission of

9 Exhibit 2.

10 COMMISSIONER CLARK: All right. Exhibit 2

11 is entered in the record without objection. Exhibit 3

12 has been withdrawn. Staff, the next exhibits, 4

13 through 8 of your exhibits.

14 MR. KEMPING: Staff would move for the
15 admission of 4 through 9. 9 is a late-filed exhibit.

16 COMMISSIONER CLARK: Well, we don't admit it
17 yet.

18 MR. KEMPING: Oh, I'm sorry.

19 COMMISSIONER CLARK: We'll admit 4 through 8
20 without objection. And then the late-fileds are
21 subject to objection. Okay.

22 MR. KEMPING: Understood.

23 (Exhibits 2 through 8 received in evidence.)

24 COMMISSIONER CLARK: Thank you,

25 Mr. Schuster. You're excused for now.

1 **WITNESS SCHUSTER:** Thank you.

2 **COMMISSIONER CLARK:** Let's go ahead and take
3 a ten-minute break and then we'll start with
4 Mr. Larkin.

5 We're going to go a little bit late tonight.
6 It doesn't look like we'll get done today. And then
7 I'd like to start early tomorrow in the hope we can
8 get through before noon. All right, we'll take a
9 break until 10 to 4.

10 **(Brief recess.)**

11

- - - - -

12 **COMMISSIONER CLARK:** Call the hearing back
13 to order. Mr. Howe.

14 **MR. HOWE:** Commissioner Clark, Mr. Larkin
15 has taken the stand.

16 Commissioner, I haven't been doing this very
17 long so you'll see that Mr. Larkin's testimony starts
18 off with an unnumbered page, so --

19 **MR. CHILDS:** We'll just strike it.

20 **(Laughter)**

21 **COMMISSIONER CLARK:** That's grounds for
22 striking it.

23 **MR. HOWE:** Then we start the next page with
24 1.

25 **COMMISSIONER CLARK:** That gives me

1 confidence in any numbers that you might have here.

2 (Laughter)

3

- - - - -

4

HUGH LARKIN, JR.

5 was called as a witness on behalf of the Citizens of

6 the State of Florida and, having been duly sworn,

7 testified as follows:

8

DIRECT TESTIMONY

9

BY MR. HOWE:

10 Q Mr. Larkin, would you please state your name
11 and address for record?

12 A My name is Hugh Larkin, Jr. My business
13 address is 15728 Farmington Road, Livonia, Michigan
14 48154.

15 Q And Mr. Larkin, did you cause to be filed
16 the "Direct Testimony of Hugh Larkin, Jr." consisting
17 of 14 pages, the first of which is unnumbered?

18 A Yes.

19 COMMISSIONER CLARK: So it's one unnumbered
20 page and 13 numbered pages.

21 MR. HOWE: Yes.

22 COMMISSIONER CLARK: All right.

23 Q (By Mr. Howe) Mr. Larkin, if I were to ask
24 you the same questions reflected in that prefiled
25 direct testimony, would your answers be the same?

1 **A** Yes, they would.

2 **Q** Do you have any corrections to be made?

3 **A** Not at this time.

4 **Q** Mr. Larkin, we also have two exhibits, the
5 Appendix, which consists of the "Qualifications of
6 Hugh Larkin, Jr.," and an exhibit, NL-1. Were those
7 prepared under your direction and supervision?

8 **A** Yes.

9 **MR. HOWE:** Commissioner Clark, I'd ask we
10 have an exhibit number for identification.

11 **COMMISSIONER CLARK:** All right. His
12 Appendix 1 will be marked as Exhibit 10.

13 **MR. HOWE:** And can we mark NL-1 then as
14 Exhibit 11.

15 **COMMISSIONER CLARK:** I'm sorry. Let's do --
16 what is it?

17 **COMMISSIONER GARCIA:** The attached exhibit.

18 **COMMISSIONER CLARK:** NL-1, we'll also make
19 that part of Exhibit 10.

20 **MR. HOWE:** All right. Commissioner Clark,
21 we'd ask Mr. Larkin's prefiled direct testimony be
22 inserted into the record as though read.

23 **COMMISSIONER CLARK:** It will be inserted
24 into the record as though read.

25 (Exhibit 10 marked for identification.)

DIRECT TESTIMONY OF HUGH LARKIN, JR.
ON BEHALF OF THE CITIZENS OF FLORIDA
BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
DOCKET NO. 961184-BQ

INTRODUCTION

Q. WHAT IS YOUR NAME, OCCUPATION AND BUSINESS ADDRESS?

A. My name is Hugh Larkin, Jr. I am a Certified Public Accountant licensed in the States of

Michigan and Florida and the senior partner in the firm of Larkin & Associates, Certified

Public Accountants, with offices at 15728 Farmington Road, Livonia, Michigan 48154.

Q. PLEASE DESCRIBE THE FIRM LARKIN & ASSOCIATES.

A. Larkin & Associates is a Certified Public Accounting and Regulatory Consulting firm.

The firm performs independent regulatory consulting primarily for public service / utility commission staffs and consumer interest groups (public counsels, public advocates, consumer counsels, attorneys general, etc.). Larkin & Associates has extensive experience in the utility regulatory field as expert witnesses in over 400 regulatory proceedings including numerous cases involving water and sewer, gas, electric and telephone utilities.

Q. HAVE YOU PREPARED AN APPENDIX WHICH DESCRIBES YOUR QUALIFICATIONS AND EXPERIENCE?

1 A. Yes. I have attached Appendix I, which is a summary of my experience and
2 qualifications.

3

4 Q. **WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

5 A. The purpose of my testimony is to provide comments on the proposed Orlando Cogen
6 Limited, Ltd. contract buyout by Florida Power Corporation (FPC). Additionally, I
7 am recommending that Florida Public Service Commission not approve this contract
8 buyout in the format suggested by Florida Power Corporation.

9

10 Q. **HOW WILL YOUR TESTIMONY BE ORGANIZED?**

11 A. My testimony will cover five subject areas:

12 I. Cost / Benefit Analysis (purported savings to FPC customers)

13 II. Discount Rate

14 III. Intergenerational Inequities

15 IV. Stranded Cost Issue

16 V. Alternative Proposal

17

18 I. Cost/ Benefit Analysis (Purported savings to FPC Customers)

19 Q. **WOULD YOU PLEASE DISCUSS THE COST / BENEFIT ANALYSIS
20 PROPOSED BY FPC AND LABELED AS SAVINGS TO FPC CUSTOMERS?**

21 A. Yes. Both the primary and alternative recommendations of the Staff and the
22 Company have concentrated on presenting to the Commission a comparison which

1 has been labeled as savings to FPC customers. This analysis is essentially a
2 cost/benefit analysis. It is designed to compare the up-front payments made by
3 ratepayers in the amount of \$9,881,000 for each of the years 1997 through the year
4 2001 to a projected future benefit which is projected to have a net positive present
5 value to ratepayers of \$75,058,000 (FPC-Exhibit No. 7, Docket No. 961184-EQ).

6
7 The calculation of the proposed net present value to FPC customers is, in my view,
8 extremely speculative. The only amount that can be determined to be fixed, known
9 and measurable is the amount that ratepayers will be charged for this buyout. It is
10 clear that, in each and every year, 1997 through 2001, ratepayers will give up through
11 additional charges added to the capacity adjustment clause some \$40,411,000 net
12 present value.

13
14 In return for these up-front payments, ratepayers are, in theory, to receive reduced
15 fuel and capacity costs starting in the year 2014 which will compensate them for the
16 up-front payment of \$40,411,000 net present value. The ratepayers, in theory, are to
17 receive net present value benefits starting in the year 2014 through the year 2023 of
18 \$75,058,000 which, according to the Company's calculations, will provide a net
19 present value benefit to the ratepayer of \$34,647,000.

20
21 The Company does not state how it arrived at the payment of \$49,405,000
22 (\$40,411,000 net present value) to OCL for the buyout of the last ten years of the

1 contract. But it is the only dollar amount that can be substantiated. The benefits
2 projected to occur in the years 2014 through 2023 are projections of future costs for
3 both capacity and energy. The Company's net present value calculations have
4 projected both coal costs and gas costs for the years 2014 through the year 2023. It
5 has also projected capacity costs in its replacement case for the year 2014 through the
6 year 2023. Even though the Staff and the Company have focused on these
7 projections, the only conclusion that one could reach about these projections are that
8 they will not be accurate. The likelihood that someone could project even one
9 component, say gas costs, in the year 2023 and state that they were accurate with any
10 degree of reliability would be folly. But these projections not only project the price
11 of gas, they also project the price of coal and capacity in the year 2023. Setting aside
12 for the present the discount rate used by the Company, the likelihood of all three
13 components (i.e., coal prices, capacity costs and gas prices) remaining in the
14 relationship projected by the Company is extremely unlikely.

15
16 Q. WHAT DOES THIS INDICATE TO YOU?

17 A. This indicates that there is the likelihood that one or all three of these components
18 might vary significantly from what is projected. This has the effect of increasing the
19 risk that customers who front the money for this buyout will be harmed. Clearly from
20 a risk reward standpoint the risk that the ratepayer takes is extremely high in that
21 there is no guarantee that one or any of these components will turn out the way the
22 Company has indicated.

1

2 **Q. ARE THERE ANY OTHER RISKS THAT ARE INHERENT IN THIS TYPE OF**
3 **TRANSACTION?**

4 **A. Yes. It is clear that the Company is aware that some form or level of competition will**
5 **affect the electric retail industry in the coming years. It is clear that the effect of these**
6 **competitive changes will impact FPC and other regulated entities long before the year**
7 **2014. In fact, the motivation for this type of buyout is to prepare for competitive**
8 **changes by reducing the cost of capacity and fuel to make the company more**
9 **competitive. The Company's proposal, however, assumes that regulation will be in**
10 **effect as it is today in the years 2014 through 2023, and that customers should be**
11 **willing to accept higher costs today in return for lower costs under regulation in the**
12 **future. One thing that is clear is that regulation will change and there can be no**
13 **assurance that capacity adjustment or fuel adjustment clauses will exist 26 years from**
14 **today.**

15

16 **From the standpoint of risk, both the risk of inaccurate projections some 26 years in**
17 **the future and the risk that regulation will change or no longer exist, it would be**
18 **imprudent for the Commission to require ratepayers to front these costs.**

19

20

1 **II. Discount Rate**

2 **Q. WOULD YOU PLEASE DISCUSS THE DISCOUNT RATE USED BY FPC TO**
3 **CALCULATE A PRESENT VALUE BENEFIT TO RATEPAYERS FROM THIS**
4 **BUYOUT?**

5 **A. FPC has used its marginal cost of capital rate of 9.97% less the tax deductible portion**
6 **of the debt component of 1.3% to arrive at an after-tax rate of 8.67%. The**
7 **Company's overall rate of return is predicated upon a secure monopoly franchise to**
8 **provide energy in its service territory. The debt component, at least in part, is secured**
9 **by the physical assets of the Company. Thus, this marginal rate of return reflects a**
10 **monopoly enterprise secured in part by physical assets. It is not an appropriate**
11 **discount rate to be utilized in analyzing possible future benefits to ratepayers.**

12

13 **Even if one could get by the risk associated with the projections of fuel and capacity**
14 **in future periods, the discount rate should reflect the risk being taken by the ratepayer**
15 **and not the cost of capital that the Company receives based on its monopoly**
16 **enterprise. The payment that ratepayers will make over a five-year period will impose**
17 **a discount rate on customers more akin to an interest rate on an unsecured loan or a**
18 **credit card. The rate on these types of payments would range from 13% to as high**
19 **as 18%. On exhibit HL-1 I have shown the net present value of the Company's case**
20 **based on a 13% discount rate. As can be seen there is a net negative present value**
21 **based on a 13% discount rate of (\$4,690,550).**

22

1 Q. **WOULDN'T RATEPAYERS ACCEPT AN 8.67% RETURN IF THEY WERE**
2 **INVESTING THE MONEY?**

3 A. **It would be unlikely that any sophisticated investor would accept an 8.67% rate of**
4 **return on his investment considering both the risk and the length of time associated**
5 **with the Company's proposal. Industrial and commercial customers clearly would not**
6 **accept a rate of return on their investment as low as 8.67% since their stockholders**
7 **would demand higher rates of return because of the inherent risk associated with any**
8 **business other than a monopoly. Thus, for the Company to suggest that a 8.67% rate**
9 **of return is appropriate in calculating the net present value benefit to ratepayers is not**
10 **reasonable.**

11

12 **If one uses an appropriate discount rate, one that reflects a high risk investment or the**
13 **rate charged for unsecured loans, clearly there is no benefit to ratepayers. The net**
14 **present value would be negative.**

15

16 **FPC's argument that ratepayers are better off by making the buyout then they would**
17 **be otherwise cannot be justified. There is no justification in the Company's case of**
18 **how it arrived at the payment of \$49,405,000 or why that is fair to the ratepayers.**
19 **There is, however, clear indication that there is substantial risk associated with this**
20 **buyout and that the discount rate is not appropriate.**

21

22

1 Also, the Commission should keep in mind that FPC has no investment in the co-
2 generation facility. The Company's marginal cost of capital affects none of the
3 components, either capacity or energy, of the costs passed through to ratepayers.
4 This is merely a flow through directly to the customers through the fuel adjustment
5 clause and the capacity adjustment clause. Therefore, the use of FPC's cost of capital
6 as a discount rate is inappropriate.

7
8 **III. Intergenerational Inequities**

9 **Q. ARE THERE INTERGENERATIONAL INEQUITIES ASSOCIATED WITH THE**
10 **COMPANY'S PROPOSAL?**

11 **A. Clearly there are. Customers who make payments in the first five years must remain**
12 **on the system for some 27 years in order to receive the benefits associated with their**
13 **up-front payments. It is unlikely that many, if any, customers will collect for the**
14 **payments that they have to make currently in order to receive some future benefit**
15 **which is subject to the risk of fuel and capacity projections and changes in regulation.**

16
17
18 **Q. FPC SAYS THAT THIS IS NOT INTERGENERATIONAL INEQUITY, BUT**
19 **SOMEWHAT MIRRORS THE OCL CONTRACT, WOULD YOU PLEASE**
20 **COMMENT.**

21 **A. It appears that FPC's argument is that capacity payments to OCL are lower in the**
22 **beginning years and higher in ending years and, therefore, the customers at the**

1 beginning of the contract receive some type of benefit because of these lower capacity
2 payments at the beginning. The Company concludes that this is no different than
3 ratepayers making payments at the beginning of the period to receive benefits at the
4 end of the period, an analogy I do not believe is accurate. The capacity payments are
5 lower in the OCL contract to ensure performance. In other words, to ensure that
6 OCL meets its obligations to provide capacity and energy, it is not compensated up-
7 front for the full amount of its investment in capacity. This benefit should flow to the
8 current ratepayers because they are the ones assuming the risk of whether OCL can
9 and will perform its contractual obligations. The higher payments at the end of the
10 contract are justified because, historically, OCL would have performed under the
11 contract for a significant part of the contract term and its performance for the
12 remainder of the contract would be more or less guaranteed by the higher payments.
13 Thus, because the risk is lower, the payment by customers would be higher. This is
14 not comparable to the contract buyout where customers are making payments up
15 front and may not be on the system to receive any benefits at the end of the period.
16 They are taking the risk and receiving no benefit while in the original contract the
17 customers at the beginning are taking the risk of nonperformance and receiving the
18 benefit of lower cash payment for that risk. These are not comparable situations and
19 clearly one is intergenerational inequity (the contract buyout) and one is the payment
20 for risk (current contract costs).

21

22

1 IV. Stranded Cost

2 Q. BOTH THE PRIMARY STAFF'S RECOMMENDATION AND FPC HAVE
3 CONCLUDED THAT THE BUYOUT HAS ADDITIONAL BENEFITS IN
4 ADDITION TO THE EXPECTED COST SAVINGS. WOULD YOU PLEASE
5 COMMENT.

6 A. In the Staff memorandum of December 26, 1996, the primary Staff's recommendation
7 states, "The buyout will mitigate potential straddable costs and increase FPC's
8 flexibility in meeting customer needs in the future." The Company states, on page 19
9 of Mr. Schuster's testimony, that "In the case of the OCL transaction, the effect of
10 reducing future costs from the level of the contract to FPC's projected avoided costs
11 during the buyout period 2014-2023 has, for all intents and purposes, the same effect
12 as eliminating potential straddable costs of a like amount." Additionally, on page 18
13 of Mr. Schuster's testimony, he states, "FPC's objective is to continue to meet the
14 electric needs of its customers at competitive prices. The Company has recognized
15 that the rising cost of its portfolio of co-generation contracts poses a threat to this
16 objective."

17
18 The problem with both the primary Staff's recommendation and the Company's stated
19 objectives is that these costs, if they are straddable costs, have been segregated and
20 placed as a burden upon the ratepayer. In other words, the Company and the Staff
21 have concluded that the co-generation contract in question will be above the cost that
22 the marketplace will be willing to pay for energy in the year 2014. Thus, by

1 eliminating these costs now, the Company can lower its future capacity and energy
2 costs. The problem with this approach is that it burdens the ratepayer with strandable
3 cost without examining the offsetting mitigating assets that the Company owns which
4 should be used in mitigation of strandable cost.

5
6 **Q. WOULD YOU PLEASE EXPLAIN THAT FURTHER?**

7 **A. As an example, suppose that in the year 2014, the first year of the contract buyout,**
8 **the OCL energy and capacity payments result in an average cost on the Florida Power**
9 **Corporation System of 11¢ per KWH. Assume however, the other generating plants**
10 **on the Company's system have an average capacity and fuel price of 5¢ a kilowatt**
11 **hour including return and all other fixed costs. If the market clearing price on average**
12 **was 8¢ a kilowatt hour, then FPC would be able to sell all of its native generation at**
13 **an excess profit of 3¢ a kilowatt hour since its embedded 5¢ rate included a rate of**
14 **return. The 11¢ power would, of course, only be able to sell at the same market**
15 **clearing price of 8¢, thus leaving a strandable cost of 3¢ per kilowatt hour. If the**
16 **Commission approves this contract buyout in the manner that it is currently**
17 **structured, ratepayers will pick up the 3¢ per kilowatt hour of potential strandable**
18 **cost in the contract buyout but the Company will earn an additional profit of 3¢ a**
19 **kilowatt hour on its own assets because the imbedded cost of their plant and energy**
20 **is cheaper than the market clearing price.**

1 **There is no justification for the Company receiving the benefit of the additional 3¢ per**
2 **kilowatt hour profit on its generating assets since the ratepayer had supported the**
3 **plant during its entire life. Thus, the more equitable method would be to offset the**
4 **strandable cost of 3¢ by the excess profit earned by the Company at the same time.**
5 **The Company would still retain a large portion of this excess profit since KWH from**
6 **their native generation assets would far exceed the strandable cost from the KWH of**
7 **this cogeneration contract.**

8
9 **By separating the two transactions, both the primary Staff's recommendation and the**
10 **Company seek to place the burden of strandable cost on the shoulders of the**
11 **ratepayer, while keeping any additional profits that the Company's assets might**
12 **generate for the stockholders. This is inequitable, and the Commission should not**
13 **embark on such a one-sided policy.**

14
15 **Clearly, if a transaction has the potential of affecting strandable cost, it must be**
16 **considered in the light of any other positive offsets that the Company might have**
17 **available to it, such as my example of plant which will generate additional profits at**
18 **the market clearing price. To do otherwise would burden ratepayers with increased**
19 **cost and keep increased profits for stockholders.**

20
21 **V. Alternative Proposal**

22 **Q. IS THERE AN ALTERNATIVE THAT THE COMMISSION COULD CONSIDER**

1 **TO THE COMPANY'S PROPOSAL?**

2 **A. Yes, there is. If the Company believes that its proposal is beneficial then it shouldn't**
3 **matter to the Company whether the ratepayer or the Company make the buyout**
4 **payments in the years 1997 to 2001.**

5

6 **It would seem to me that, if the Company thought that its projections and its**
7 **negotiation of the buyout were reasonable and the Commission should rely on them,**
8 **then the Company should in the alternative be willing to make the up-front payments.**

9 **Let the Company front the \$49 million plus buyout payment and if the Company's fuel**
10 **and capacity projections are accurate and there is a capacity and fuel adjustment**
11 **clause in existence in the year 2014, then the Company can recover its up-front**
12 **payments from the ratepayer through the adjustment clauses. The company will**
13 **receive a rate of return equal to its current authorized rate of return and at the same**
14 **time be able to reduce its future capacity and energy costs and achieve its stated goal**
15 **of offering competitive price to its customers. Since the Company feels its projections**
16 **ought to be relied on, it should be willing to make the up-front payments and receive**
17 **a return plus the up-front payments in the years 2014 to 2023.**

18

19 **Q. WOULD FPC SUFFER ANY HARM IF THE COMMISSION WERE TO DENY**
20 **ITS PETITION?**

21 **A. FPC stated, at page 5 of its protest, that "the amendment (to the OCL contract) will**
22 **provide net savings of over \$400 million to Florida Power and its customers and will**

1 mitigate the exposure of Florida Power and its customers to potentially strandable
2 costs in the future." FPC, however, has been flowing the costs of the OCL contract
3 through to its customers through the fuel adjustment clause, and its proposal would
4 flow the costs of the buyout to customers. It would appear that FPC cannot be
5 harmed from a denial of its petition because FPC's earnings are not affected under
6 either scenario. If FPC could be harmed by the existence of strandable costs in the
7 future, then it must be presumed that traditional ratemaking will not be applicable in
8 the future. As I have previously explained, FPC should be required to offset
9 strandable costs with those assets that will be able to mitigate stranded costs. If this
10 is the case, FPC's NPV analysis, which are premised on the continuation of traditional
11 ratemaking through 2023, are invalid as a basis for predicting future customer savings.

12

13 Q. DOES THAT CONCLUDE YOUR TESTIMONY?

14 A. Yes it does.

1 **Q** **(By Mr. Howe) Mr. Larkin, would you please**
2 **summarize your testimony.**

3 **A** **Yes. My testimony consists of essentially**
4 **five topics.**

5 **The first is I look at the Company's**
6 **cost/benefit analysis which, in essence is what it is,**
7 **and I point out that it is comprised of projections**
8 **that go significantly into the future and project**
9 **capacity and energy costs, both fuel -- both coal and**
10 **gas costs, and that it is very difficult, if not**
11 **impossible, to project any of these with any sense of**
12 **accuracy.**

13 **In addition, I point out that the advent of**
14 **competition in the electric industry is close; that it**
15 **is moving forward. And that the likelihood that**
16 **anyone could project what future customers would be**
17 **able to obtain energy costs, capacity and fuel costs**
18 **-- that is extremely unlikely that anyone could**
19 **predict or project that. So that the cost/benefit**
20 **analysis is very risky and very speculative just**
21 **taking the company's projections and the effect of**
22 **competition.**

23 **Then the other component of this**
24 **cost/benefit analysis is the discount rate. And I**
25 **feel that it's inappropriate to use the Company's cost**

1 of capital as a surrogate for a very risky ratepayer-
2 funded project, and that if you were to look at
3 something comparable it could be an unsecured loan and
4 ratepayers would pay for unsecured loans, anything
5 within the range of 13 to 18%. And once you do that,
6 once you substitute and put in the right discount
7 rate, accepting all of the company's projections and
8 the likelihood of competition, the net present value
9 turns negative, and, therefore, it would not be in the
10 best interest of the ratepayer to invest in this type
11 of project.

12 **The third area is intergenerational**
13 **inequities. I point out that there was a reason to**
14 **structure the cogan contract the way it was**
15 **structured; and that was that there was risk and by**
16 **putting payments at the end, the risk is mitigated and**
17 **that the risk taker, that is that group of ratepayers**
18 **who pay at the beginning, should receive the benefit**
19 **of the reduction of that price because of the risk.**
20 **And as that risk mitigates, of course, the price**
21 **increases and future ratepayers would pay that. That**
22 **is not at all like the buyout payment.**

23 **The buyout payment charges ratepayers in the**
24 **first five years and waits until the very end, to the**
25 **year 2014, before any benefits starts to accrue to**

1 those ratepayers. So that there is an
2 intergenerational inequity associated with the buyout.

3 The fourth issue I raise is stranded cost.
4 Both the Staff and the Company have suggested that
5 buying out this contract will somehow mitigate
6 stranded cost. Well, it obviously will, because
7 you'll be charging ratepayers now for something that
8 might be stranded in the future. Of course, we don't
9 know that it will.

10 But what you do when you do that is that you
11 segregate pieces of stranded cost -- if this is
12 stranded cost -- and you charge ratepayers now without
13 giving them the benefit of those costs that the
14 Company might have embedded in its rates which are
15 below market.

16 So if this were the only project that the
17 Company had that was stranded cost, the ratepayer
18 would pay the stranded cost, he would alleviate it.
19 The Company stockholders would keep the benefit of all
20 the below market embedded cost, and that's just
21 unfair, and the Commission shouldn't embark on that
22 kind of policy.

23 And as a last area of my testimony I suggest
24 that if this is such a great deal, let the Company
25 fund it; let them buy out the contract, and then

1 receive back cost of capital and their funds over the
2 same time period that the ratepayer would have
3 received theirs.

4 And I think that that -- if it is truly as
5 secure as the Company thinks it is, that should be
6 fair to the Company and to the ratepayer.

7 And that concludes my summary.

8 MR. HOWE: We tender Mr. Larkin.

9 COMMISSIONER CLARK: Mr. Froeschle.

10 **CROSS EXAMINATION**

11 **BY MR. FROESCHLE:**

12 Q Mr. Larkin, good afternoon.

13 A Good afternoon.

14 Q I'd like to start with a couple of questions
15 about Part 1 of your testimony, which you've
16 identified as the cost/benefit analysis. On Page 2 of
17 your testimony you state that the only amount that can
18 be determined be to be fixed, known and measurable is
19 the amount that the ratepayers will be charged for
20 this buyout. Is that true?

21 A Yes.

22 Q Isn't it also true that the capacity costs
23 under the existing contract are also known with
24 certainty?

25 A No. If you look at the contract, if you

1 look at -- that section of the contract that deals
2 with capacity payments, it is a calculation and it's a
3 calculation that suggests that it will change as the
4 amount of on-peak power varies, so that it is not
5 something that falls right out of the contract; it has
6 to be calculated. In fact, Page 17 of the contract,
7 subparagraph 8.3 states "At the end of each billing
8 month, beginning with the first full month following
9 the contract in-service date, the Company will
10 calculate the on-peak capacity factor on a rolling
11 average basis for the most recent 12 months.

12 Including such months, or for the actual number of
13 months since the contract in-service date, if less
14 than 12 months, based on the on-peak hours defined in
15 Appendix C, the on-peak capacity factor shall be
16 calculated as the electric energy actually received by
17 the company at the point of delivery, during the
18 on-peak hours of the applicable period, divided by the
19 product of the committed capacity and the number of
20 on-peak hours during the applicable period.

21 "In calculating the on-peak capacity factor,
22 the company shall exclude hours and electric energy
23 delivered by the GP during periods in which (1) The
24 company does not or cannot perform its obligation to
25 receive all of the electric energy which the GP has

1 made available at the point of delivery, or (ii), the
2 of payments for electric energy are being calculated
3 pursuant to Section 9.1.1." And I won't read 8.4
4 which defines the calculations.

5 So in other words, it's a calculation. It's
6 not a number that where you take the nameplate rating
7 times the capacity factor and you end up with the
8 rate. It varies.

9 Q Would you agree that the capacity costs are
10 known within a reasonable degree of certainty?

11 A You can make assumptions that, number one,
12 the Company will be there and it will be performing
13 the function of -- the cogens will be there and will be
14 performing its functions and will be able to deliver.
15 And you could assume that it will deliver a certain
16 amount of energy on-peak, but those are all
17 assumptions.

18 Q Have you reviewed Mr. Stallcup's testimony?

19 A I've read it, yes.

20 Q I'm reading from his testimony now, on
21 Page 8 of that testimony, beginning on Line 4,
22 continuing through Line 7 it reads, "For example, the
23 projected energy costs under the replacement case are
24 determined largely by the future price of natural gas,
25 and are much riskier than the capacity cost under the

1 contract case which are known with certainty." Do you
2 disagree with Mr. Stallcup?

3 A I do to the extent that I've just stated.

4 Q I'd like you to turn to Page 3 of your
5 testimony, at Line 6 through 8 you state that the --
6 to paraphrase, that the projections -- that the only
7 conclusion one can reach about these projections are
8 that they will not be accurate; is that true?

9 A That's true.

10 Q Isn't it true that generation planning is
11 done based on projections such as these fuel costs?

12 A Yes, that's true. But that's not the
13 purpose here. There's not a necessity for this
14 Commission to decide between two alternative choices
15 of a necessary addition of a capacity.

16 I mean the company -- Mr. Schuster has
17 already admitted that lower prices are coming; that
18 competition is going to bring lower prices. And it
19 seems to me what the Company is saying is that if
20 competition comes, you're going to get lower prices.
21 Give us \$49 million to pay off this contract to get
22 lower prices anyway.

23 So to me the choice for the ratepayer is
24 not -- it's lower prices, having the capacity; lower
25 prices paying 49 million to get it. And that's no

1 choice at all. That's a no-brainer. It's just
2 dumping.

3 Q Getting back to the question, though, isn't
4 it true that generation planning is done based on
5 projections such as these?

6 A Yes. As I say, I disagree that this is
7 really a generation planning necessity or hearing.

8 Q And so projections are made of fuel cost --

9 A Yes.

10 Q -- and of capacity costs?

11 A Yes.

12 Q And decisions are based -- are made based on
13 those projects; isn't that true?

14 A That's true if it's a necessity to enter
15 into construction of a plant or purchase, but that
16 isn't the case in this instance.

17 Q Do you know whether the risk and uncertainty
18 involved in Mr. Schuster's projections for the OCL
19 contract buyout are any greater than the risk and
20 uncertainty involved in the projections used by the
21 Commission for, say, need determinations?

22 A I haven't looked at that, but I think just
23 the fact that competition is going to change things
24 makes them riskier.

25 Q Have you looked at the question of whether

1 the risks involved in projections for calculations of
2 avoided costs are any riskier than those that
3 Mr. Schuster has made for purposes of this OCL
4 contract buyout?

5 A Would you state the question again? I'm not
6 sure I --

7 Q Have you looked at the question of whether
8 the risks involved in Mr. Schuster's projections for
9 this particular contract buyout are any greater than
10 the risks that would be involved in projections used
11 for calculations of avoided cost?

12 A It's the same answer I'd give to the other
13 questions that you've asked.

14 Q Have you evaluated previous Florida Power
15 buydowns or buyouts of purchased power contracts which
16 this Commission has approved with respect to the risks
17 or projections that were made?

18 A No.

19 Q Are you suggesting to this Commission that
20 it should no longer use projections to make decisions
21 in this type of a matter?

22 A I'm suggesting to this Commission that where
23 there is no guarantee that ratepayers will receive a
24 benefit, and it is clear that prices are going to
25 decline because of competition, that they should not

1 accept this kind of buyout.

2 Q Is it your testimony then that with
3 absolutely certainty, with greater certainty than the
4 calculation of capacity costs under the contract, that
5 rates will go down under competition?

6 A Oh, I'm fairly certain that they will. I
7 mean, they are moving that way now. I don't know of a
8 state that isn't looking at restructuring or
9 competitive issues.

10 Q What other states have you reviewed to
11 determine whether those rates are, in fact, coming
12 down?

13 A Well, I don't know that the rates are coming
14 down. They're not going up as fast, and they are
15 coming down in some places like California.

16 Q Is it your testimony then that they are
17 going up in some situations?

18 A No. I said --

19 Q Not as fast, I believe, was your testimony.

20 A That's what I said. But I don't think that
21 they're going up period; and in many instances they
22 are coming down. They are either remaining level or
23 decreasing.

24 Q But not necessarily coming down?

25 A No, not necessarily coming down.

1 Q Isn't it true that you're speculating as to
2 what the rates may be under competition?

3 A Yes. And that's what this whole hearing is
4 about: speculation about what is going to happen in
5 the future. And the only part that isn't speculation
6 is the \$49 million you're asking the ratepayer to pay.

7 Q At Page 3 of your testimony, Lines 19 to 21,
8 you state clearly from a risk/reward standpoint the
9 risk that the ratepayer takes is extremely high in
10 that there is no guarantee that one or any of these
11 components will turn out the way the company has
12 indicated. Is that true?

13 A That's true.

14 Q Isn't it true that the components could turn
15 out to, in fact, work out in a way that the ratepayer
16 was better off than was projected; isn't that true?

17 A No, because competition will eliminate any
18 type of automatic recovery clause. And when that is
19 eliminated, the ratepayer would automatically get that
20 benefit. I mean, inherent in your question is the
21 assumption there wouldn't be any competition. (Pause)

22 COMMISSIONER GARCIA: Mr. Larkin, let me ask
23 you a question while they are thinking.

24 Let's say we don't approve this, and
25 competition shows up in the next five years. What

1 happens to this arrangement?

2 **WITNESS LARKIN:** Well, if competition shows
3 up -- you mean the contract itself?

4 **COMMISSIONER GARCIA:** Yeah. What happens to
5 this arrangement the Company has with the generator in
6 this case.

7 **WITNESS LARKIN:** If competition shows up you
8 won't be able to determine what ratepayers will pay
9 for their energy. There will, number one, be no base
10 rates; there will be no automatic adjustment clauses.
11 Customers will be able to choose their supplier and
12 that will be based on price, and that price will
13 include both capacity and energy.

14 **COMMISSIONER GARCIA:** Once that happens, then the portion of the
15 contract that says if we can't collect this through an
16 automatic clause, we are able to abrogate the
17 contract, then the company can abrogate the contract
18 with a co-generator, or as an alternative they can
19 negotiate a price that is market based, and then
20 everybody comes out the way it should come out: The
21 ratepayer hasn't paid any more; the Company is paying
22 market based rates, and the co-generator is getting
23 the value of his energy and capacity based on the
24 current market.

25 **COMMISSIONER GARCIA:** You don't think we'd

1 have to address this in some term of a stranded
2 investment.

3 WITNESS LARKIN: Well, even if you do --
4 even if you do, the way to address that is to look at
5 all of the stranded costs --

6 COMMISSIONER GARCIA: Right.

7 WITNESS LARKIN: -- in comparison to those
8 costs that are aren't stranded.

9 COMMISSIONER GARCIA: Okay.

10 WITNESS LARKIN: Let me give you an example.
11 There will be a price in competition that's
12 called the market clearing price. And that price
13 represents an average of costs or prices that buyers
14 and sellers will be willing to accept or pay in order
15 to satisfy all those that wanted to sell and all those
16 that want to buy.

17 If that average comes out to be 8 cents,
18 that means some customers will -- who have market
19 power will buy at 5; some customers that have low load
20 factors and want to be on at peak and take all of
21 their energy at peak will pay 9 or 10 cents. But the
22 average will be 8. And at that price anybody will be
23 able to get -- to sell their energy and customers that
24 have -- will be able to buy.

25 If you have capacity and energy that's

1 selling at five and you can sell it for eight, and
2 you've recovered all of your costs, you've got a
3 profit that's in excess of the market of 3 cents. And
4 there will be company assets, this Company's assets
5 that will be able to do that.

6 **COMMISSIONER GARCIA:** You don't think that
7 the ones who will be taking it at peak, the ones that
8 don't have the market power, will be the ratepayers of
9 this state in some way. Or individuals, in some way,
10 are going to end up paying for this one way or
11 another, and in particular the individual ratepayers
12 or the --

13 **WITNESS LARSEN:** Residential ratepayers, or
14 those that don't have -- not if competition becomes
15 the way it should be. And the way it should happen is
16 that there will be aggregators; people that will take
17 small groups of customers or customers with
18 complimentary load profiles and they will aggregate
19 those together. And they will be able to go to
20 Mississippi, or to Georgia, and get power. And as
21 long as the transmission and the distribution system
22 has open access, they'll be able to deliver that. So
23 that if there is stranded cost and any company in
24 Florida says, "Well, I'm going to charge these
25 ratepayers that," the aggregator, through competition,

1 will be able to circumvent that. You'll be able to
2 bring power in that is less than that cost. And so
3 the company will then either have to meet that
4 price -- if he has 11 cents power and they can bring
5 power from Georgia at 8 cents, then he either has to
6 sell at above market energy at 8 cents and eat the 3
7 cents or he doesn't sell it at all. So it's the piece
8 between 8 and 11 cents that's stranded. And it isn't
9 stranded if he has another piece that has a cost of 5
10 cents that he's getting 8 cents for; he's whole. But
11 when you take one piece, the 11-cent piece, and say
12 pay for it now, and then five, ten years from now when
13 competition comes he gets to keep the 3 cents and
14 that's unfair to the ratepayer. And what I'm saying
15 to you is do that at the appropriate time.

16 **COMMISSIONER GARCIA:** I'm sorry for
17 interrupting. Go ahead.

18 **MR. FROESCHLE:** That's okay.

19 **Q** (By Mr. Froeschle) I'd like you to turn to
20 Page 4 of your testimony where you begin and end your
21 discussion of competition.

22 The question was also asked of Mr. Schuster
23 this morning, or this afternoon, or both, regarding
24 competition being the motivation for Florida Power to
25 pursue this buyout.

1 My question for you is isn't it true that
2 there could be other motivations in addition to the
3 motivation of competition for Florida Power to pursue
4 such a buyout?

5 A I suppose, but I can't think of any.

6 Q Isn't it true that as a utility in this
7 state that Florida Power has an obligation to provide
8 electric service to its ratepayers at a fair and
9 reasonable cost?

10 A Yes, but --

11 Q Wouldn't it also be fair to say that Florida
12 Power would, in pursuing such an obligation, have a
13 reasonable motivation to seek to lower the cost of its
14 power for its customers?

15 A Yes, but they could accomplish that by
16 waiting for competition. They could accomplish the
17 same thing by waiting for that price -- marketplace to
18 bring that price to where it should be.

19 Q Let me ask you this question: If the
20 motivation were to position itself for the onset of
21 competition whenever it may come, and the outcome of
22 Florida Power pursuing this buydown to lower the rates
23 for its customers and, therefore, better position
24 itself for competition, is that objectionable?

25 A It is when you're charging the ratepayer to

1 meet that obligation. He's going to get the benefit
2 anyway. It makes no sense for him to pay for
3 something that if he didn't have to pay for it he
4 would get in any case.

5 Q Again, you're assuming that the rates under
6 competition will be lower?

7 A Not only am I assuming that, your own
8 witness has said the same thing.

9 Q You're also assuming in your answer that the
10 costs that are involved in this buyout could be
11 avoided by the customers as a result of competition.
12 Isn't that true?

13 A Yes.

14 Q Is that ignoring the possibility of a
15 non-bypassable charge that may be legislated at the
16 time competition is brought?

17 A No, not really, because as I stated to the
18 Commission, that the way to look at stranded cost is
19 to look at it in its entirety, not to bifurcate it and
20 look at pieces of it. And that's what I think is
21 wrong with this mitigation of supposedly future
22 stranded cost.

23 Q I'd like to turn to your discussion of the
24 discount rates in your testimony.

25 Isn't it true that the Commission uses a

1 company's marginal cost of capital as a discount rate
2 for net present value analysis of a company's
3 alternatives in a case such as the one before the
4 Commission here?

5 A Of a company's alternatives. I think that's
6 the key word; not of the ratepayer's alternative.

7 Q Excuse me, I didn't hear?

8 A I said of the company's alternative; not of
9 the ratepayer's alternatives. And that's the key.

10 Q Do you know of any instance where the
11 Commission has used anything other than the company's
12 marginal cost of capital for such calculations?

13 A I've never looked at it and I don't know
14 that they've ever been faced with a situation where
15 the analysis is taking ratepayer money to fund
16 something through the utility. So I think it's
17 probably -- and I don't know -- that this is an unique
18 situation.

19 Q Do you know of any instances where the
20 Commission has used a discount rate of 13 to 18% for
21 its net present value calculations?

22 A No. But I don't think they've ever looked
23 at what the discount rate for the ratepayer is either.

24 Q Do you know what the effect would be if the
25 Commission were to use such a discount rate of 13%,

1 say, in evaluating the cost-effectiveness of its
2 utility conservation programs?

3 A They are not interchangeable; they are not
4 comparable analysis.

5 Q Isn't it true that conservation programs are
6 paid by the customers?

7 A Yes. But they are paid by the customers to
8 avoid building plants. They are to avoid adding
9 capacity.

10 Q But they are paid by the customers.

11 A Well, I assume that they are. I just don't
12 know.

13 Q Isn't it true that a rate of 13¢ would
14 render many of these programs non-cost-effective?

15 A As I said before, I don't think that they
16 are really comparable.

17 Q On Page 19 of Mr. Schuster's testimony
18 Mr. Schuster calculates a pretax return on investment
19 for the OCL buydown in the range of 14.4 to 16.9¢.
20 Are you familiar with that?

21 A In his rebuttal testimony?

22 Q That would be on Page 19 of his rebuttal
23 testimony; I believe that's correct?

24 A Yes, I'm familiar with that.

25 Q In your opinion would a sophisticated

1 investor be willing to accept a pretax return on
2 investment in that range?

3 A Well, if you use Mr. Schuster's theory and
4 apply it to the correct discount rate of 13 to 18%
5 you'd get higher returns than that; you'd get -- and
6 the ratepayer would not accept Mr. Schuster's when he
7 could get a theory -- under his theory, which is, I
8 think, flawed. He would opt to pay off his loans, as
9 I stated, because using that methodology you would
10 have rates of return significantly higher than that.
11 But he arrives at that theory by concluding that
12 because utility bills aren't tax deductible or taxable
13 when they are decreased, that that's equivalent to an
14 after-tax return.

15 Well, payment on a credit card at 18% is the
16 same thing; equivalent to an after-tax return. So if
17 you gross that up for taxes you'd be up at 22%, so he
18 would opt to do that rather than invest in this
19 buydown. So it's a phony method of trying to justify
20 a rate of return that's not correct.

21 Q Do you know of any investments available to
22 investors that would offer returns in this range?

23 A 12 to 14%?

24 Q 14 to 16%?

25 A There probably are junk bonds that are up

1 that high. You probably could find something that is
2 extremely risky that would get that high, which would
3 probably be comparable to this buydown.

4 Q I'd like to return to your discussion of
5 intergenerational inequities. How do you define that
6 concept?

7 COMMISSIONER GARCIA: I'm sorry, I didn't
8 get the question.

9 MR. FROESCHEL: How do you define the
10 concept of intergenerational inequities?

11 A It's charging one generation of ratepayers
12 an expense that flows to the benefit of another
13 generation of ratepayers.

14 Q From where did you get that definition?

15 A It's my own.

16 Q Are you aware of any Commission decision in
17 this state where the Commission has defined
18 intergenerational inequity in that way?

19 A Nope.

20 Q You are you familiar with any decision where
21 they have defined it in any way?

22 A No.

23 Q Could you give me an example of a utility
24 investment or a cost recovery plan that would not have
25 intergenerational inequities?

1 A Well, in theory all of them do not. In
2 theory, when rates are set, ratepayers currently are
3 charged only the cost of the rates or the service --
4 the cost for the service that they are receiving.
5 They are not charged something -- for instance, I'll
6 give you -- here's an example.

7 The Commission doesn't charge current
8 ratepayers, or allow CWIP, construction work in
9 progress, into the rate base currently, and eliminate
10 the carrying charge on that plan, because current
11 ratepayers are not receiving any benefit from it. So
12 CWIP is excluded from rate determination and it
13 carries its own carrying charge. So that current
14 ratepayers, although that plan is being constructed
15 for somebody, the current ratepayers do not pay for
16 it. When it does go into service, then those
17 ratepayers pay the return on and the return of that
18 investment, but at the same time they are receiving
19 service for it; service from that plant.

20 MR. FROSCHE: Just one moment.

21 COMMISSIONER CLARK: Isn't the flip side of
22 that if you don't allow CWIP, you usually have a
23 allowance for funds used during construction and you
24 add it to the capital costs, so it's pay me now or pay
25 me later.

1 **WITNESS LARKIN:** Except that if you're
2 accruing CWIP or AFUDC on it and it never becomes used
3 and useful the ratepayer is never charged for it.
4 And in many instances commissions will adjust the
5 capital structure to remove the effects of any debt or
6 equity that was issued specifically for a plant that's
7 coming on line. They don't do it in Florida but there
8 might be instances. Well, let me give you an example
9 which you've done that I recommended, I felt was
10 right.

11 In Jacksonville, United Water of
12 Jacksonville had a rate case and they had upgraded the
13 system, either added a new water plant, and they were
14 using the parent company capital structure. But there
15 was also a specific bond issue in Florida to fund
16 that -- construction of that plant. I added that bond
17 issue specifically to the capital structure and
18 rearranged the debt and the equity to give effect to
19 that, which lowered the overall cost of capital. And
20 this Commission said that's right, because that
21 specific issue relates to this project and we should
22 take that into consideration. So there are instances
23 where you adjust capital structures to effect or give
24 effect to that particular project.

25 **Q** Isn't it true that in revenue requirement

1 ratemaking current customers pay more than later
2 customers for the same service?

3 A No. I mean once you set rates, if you set
4 rates now -- suppose you put a new plant in service
5 now, that plant reflects its full value and that is
6 reflected in the rates. Now, the next year that plant
7 has depreciated. Rates aren't reflected downward to
8 reflect depreciation of that plant; if there is a
9 benefit that goes to the company. If rates are never
10 re-established and the plant goes to a complete level
11 of zero over a 30-year period, the ratepayer still
12 pays the same rate unless the Commission requires the
13 company to come in adjust rates, or the company
14 voluntarily comes in to do that.

15 Q How do you determine how much inequity is
16 too much?

17 A How much inequity is too much?

18 Q In intergenerational inequity, how do you
19 determine how much inequity is too much?

20 A Oh, I don't know. I think it's a judgment
21 the Commission has to exercise. But this is clearly
22 one of those instances where you have somebody pay
23 something the first five years and then they have to
24 wait 15 or 20 years to start getting any benefit back.

25 Q In analyzing your proposal, wouldn't you

1 agree that you balance the cost to the ratepayers to
2 the benefits they'll receive under whatever you're
3 proposing?

4 A In association with the risk and the
5 probability that they'll get the benefit.

6 Q But you would balance those, right?

7 A You'd look at them and I've looked at them
8 and I think they are not very favorable to the
9 ratepayer.

10 Q You don't look at the costs alone?

11 A You don't look at the costs alone. I guess
12 I don't understand the question.

13 Q You're not looking at the costs in a vacuum;
14 you're balancing, you're weighing them against what
15 the ratepayer is going to benefit from the proposal?

16 A I guess you would, but in this instance --

17 Q Let me give you example. In this particular
18 buydown you're saying that there's too much
19 intergenerational inequity?

20 A I'm saying that there is intergenerational
21 inequity.

22 Q That there is intergenerational inequity.
23 And what I'm trying to determine from you is where do
24 you draw that line? Where is there too much? Is
25 there some point where it's okay? Some point where it

1 ian't okay?

2 So with that premise in mind let me ask you
3 this question: If in this example the ratepayers
4 would not benefit by what they were under
5 Mr. Schuster's calculations, but instead would benefit
6 by \$5 billion in costs saved at the end of the
7 contract, would that offset what you see as being an
8 excessive intergenerational inequity?

9 A No. I think that's a separate kind of
10 issue.

11 Q So you do look at it in a -- you do look at
12 it only as the cost --

13 A Yes, as whether one group of ratepayers are
14 doing something to benefit another group of
15 ratepayers.

16 Q So you would completely disregard whatever
17 benefits the ratepayers might gain from the proposal
18 as a whole; you would separate off that cost and
19 completely isolate it from the gain the ratepayers
20 would get?

21 A Well, I haven't done that, but I think you
22 could. Even if you did, there is no \$5 billion that
23 the ratepayer is going to receive at the end. I think
24 it's all pretty shaky.

25 Q I'd like you to turn to Page 12 of your

1 testimony. And this is your proposal to, I guess, in
2 addition or in differentiation from the one that has
3 been brought to the Commission, you have suggested at
4 line beginning at Line 12 that the Company will
5 receive a rate of return equal to its current
6 authorized rate of return and at the same time be able
7 to reduce its future capacity and energy costs and
8 achieve its stated goal of offering a competitive
9 price to its customers. Is that an accurate statement
10 of your testimony?

11 A Well, my testimony is a parroting of what I
12 thought the Company was stating it wanted to do.
13 That's an accurate statement of what I said.

14 Q That is an accurate reading of what you have
15 stated in your testimony?

16 A Yes. What page -- Page 12, line?

17 Q Will Lines 12 through 15.

18 A Yes.

19 Q What's the basis for that statement?

20 A I think the Company has stated that that's
21 what it wanted to do; reduce its future capacity and
22 energy costs and offer competitive prices.

23 Q Well, I believe that this is a discussion of
24 your proposal and your testimony, so it isn't
25 something that the Company has proposed at all. I'm

1 asking you've made this statement in regards to --

2 A Yes.

3 Q -- your proposal.

4 A Well --

5 Q -- and my question is what is the basis for
6 you're making that statement? Did you perform an
7 analysis?

8 A I looked at the Company's proposal, and if
9 the Company funded it, they would would be in the same
10 position as the ratepayer.

11 Q To make that statement, did you perform an
12 analysis of some kind of this alternate plan that
13 you're proposing?

14 A No. Other than looking at the cash flows in
15 Mr. Schuster's schedule and assuming that the Company
16 funded it instead of the ratepayer, there's no other
17 alternative analysis.

18 MR. FROESCHEL: I have no other questions at
19 this time.

20 COMMISSIONER CLARK: Mr. Childs.

21 CROSS EXAMINATION

22 BY MR. CHILDS:

23 Q Good afternoon.

24 A Hi.

25 Q You have discussed Article 20 of the

1 contract entitled "Regulatory Changes" and I want you
2 to keep that in mind with some questions that I have.

3 Are you a lawyer?

4 A No.

5 Q Have you reviewed this provision of the
6 contract as a lawyer would as to what is required
7 under the contract?

8 A No. I've reviewed it as a CPA would.

9 Q Okay.

10 A Looking at the contract and seeing what
11 effect it would have on my view of the terms of the
12 contract.

13 Q Kind of like an auditor would?

14 A Yeah. But I mean -- with you it's -- you
15 know, I went and I looked for this contract or this
16 provision knowing that it was there, knowing that I've
17 seen this in other jurisdictions, and knowing that
18 I've seen other companies and other company lawyers
19 saying that if it is eliminated, this kind of
20 provision would let us out of the contract.

21 Q And it's typically called a regulatory out
22 provision, isn't it?

23 A Right.

24 Q Now, let's go back to my question about
25 you've reviewed this as an auditor would. Did you as

1 an auditor check what this Commission itself had said
2 about enforcing this kind of a contract provision?

3 A No.

4 Q Did you check what the Florida Supreme Court
5 has said about enforcing this kind of a provision?

6 A No.

7 Q Would you agree that both this Commission
8 and the Florida Supreme Court has said that once the
9 decision or determination of prudence has been made
10 that this Commission may not direct that further
11 payments not be made?

12 A Well, I'm talking about the complete
13 elimination of any kind of automatic adjustment
14 clause. I'm not saying that this Commission order
15 them not to make the payments.

16 Q Well, I think you did?

17 A If competition comes, there won't be any
18 automatic clauses.

19 Q Well, so the answer is, then, that you did
20 not conduct a review of what this Commission or the
21 Florida Supreme Court has said; is that correct?

22 A My answer is that I did not, but such an
23 analysis isn't necessary because it would not be the
24 action of this Commission that would abrogate the
25 contract with the effect of competition on whether the

1 Commission could enforce the collection from
2 ratepayers who are no longer subject to a specific
3 company providing their energy, force them to make a
4 payment that competition would not make them pay.

5 Q As an auditor have you ever heard of the
6 contract clause in the constitution of the state of
7 Florida and whether contracts can be abrogated?

8 A Well, I've heard of --

9 Q I mean, it's clear you haven't done any
10 review as to whether this provision would affect the
11 obligation to pay in the future; isn't that correct?

12 A It has to have some effect or it wouldn't be
13 in there. What you're saying to me is that it's in
14 there but it has no effect.

15 Q Do you know when this contract was signed?

16 A 1991.

17 Q Do you know when the Commission -- this
18 Commission addressed that question? That is the
19 question of whether it could eliminate the ability to
20 recover costs for a contract that's previously
21 approved?

22 A No, but I'm --

23 Q Well, let me refer you --

24 A Let me go and give you my answer and it has
25 nothing to do with this Commission abrogating.

1 Q No, I just asked the witness if he knew what
2 this Commission had done.

3 I'm going to ask you if you would accept
4 that this Commission address this issue in 1992, and
5 said, "Once the Commission's determination of prudence
6 becomes final by operation of law, the utility cannot,
7 absent extraordinary circumstances, be denied cost
8 recovery of payments made by a QF under negotiated
9 contracts?"

10 A Yes.

11 Q Do you know what the definition of an
12 extraordinary circumstance was in that holding?

13 A No, but I would assume that it's probably
14 competition.

15 Q Pardon?

16 A I would assume that it's competition.

17 Q How about material misrepresentation of
18 fact? How about fraud?

19 A Well, that may be so, but -- I don't see how
20 you're going to force -- or this Commission or the
21 Supreme Court could force ratepayers to pay
22 something --

23 Q Okay.

24 A -- that competition would not require them
25 to pay.

1 **Q** When is competition going to affect the
2 ability of Florida Power Corporation to recover the
3 payments under this contract?

4 **A** We don't know.

5 **Q** Have you conducted any study as to the
6 penetration of competition in the state of Florida?

7 **A** No.

8 **Q** Have you conducted any study as to the
9 availability of generation in the state of Georgia,
10 Mississippi, Alabama or anywhere else within 500 miles
11 of Florida?

12 **A** Not a study, but I'm fairly familiar with
13 it.

14 **Q** Do you know what the reserve margin is?

15 **A** Not offhand.

16 **Q** Do you know when it is that they would have
17 to build new capacity if they started to make
18 substantial sales in the state of Florida?

19 **A** Well, some are building capacity now or are
20 asking to build capacity.

21 **Q** Okay. Do you know how much conservation
22 Florida Power Corporation has as a goal to achieve in
23 the next ten years?

24 **A** No.

25 **Q** You don't?

1 A None.

2 Q Do you have any idea as to how much it has?

3 A How much conservation it has as a goal to
4 achieve?

5 Q Yes.

6 A No.

7 Q Do you know the basis for the determination
8 of Florida Power Corporation's conservation goal?

9 A No.

10 Q Would you accept that this Commission
11 reviewed and evaluated the cost of building and
12 operating generation in the future?

13 A I know they do that on a regular basis.

14 Q So if competition is coming, then the first
15 thing we ought to do is eliminate all conservation,
16 wouldn't you agree?

17 A I don't know. That might be an end result.

18 Q Well, I mean you're asking -- under your
19 theory you're asking -- conservation is asking current
20 customers to pay a cost with the potential which you
21 find to be unrealistic of deferring the need for
22 capacity in the future. So shouldn't you, therefore,
23 to be consistent with your approach, not pursue any
24 further conservation?

25 A That might be likely. But what we're

1 looking at right here, right now is this buyout. And
2 what the issue is is whether the ratepayer should be
3 asked to pay \$49 million for something they're not
4 sure they will get; that is so far in the future that
5 no one knows what the costs will be; that no one knows
6 whether competition will, in effect, eliminate all of
7 the automatic adjustment clauses and abrogate this
8 contract.

9 Q Well, do you know that about any of the
10 conservation that Florida Power Corporation has?

11 A No. But competition -- or conservation
12 isn't the issue in this case.

13 Q No, sir. But if this Commission makes a
14 decision on the basis that you urge, which is that
15 competition should be recognized and, therefore, the
16 potential for future payback is not there, then this
17 Commission is going to have to take that into account
18 in any determination for conservation, isn't it?

19 A It ought to. But that's only one of the
20 issues that I raise. I raise the issue of --

21 Q But that's all I'm asking about right now.

22 A Okay.

23 Q I want to pursue on generation planning. I
24 think that you were asked some questions about
25 generation planning, as well.

1 **Would you agree that under the circumstances**
2 **that if competition is coming in the state of Florida**
3 **that the last thing any electric utility should do is**
4 **to make any commitment to build new capacity to be --**
5 **provide service under regulation?**

6 **A No.**

7 **Q Okay. Well, when do we get out of this dead**
8 **band of knowing when a utility ought to look to an**
9 **obligation to serve or serve its customers, and when I**
10 **want ought to react to the competition that you**
11 **identify is coming?**

12 **A Well, I would qualify your question by**
13 **saying that if they want to remain competitive, and**
14 **they see that there is a need for capacity, that they**
15 **would build the capacity because they want to be**
16 **competitive. They want to be able to serve; not**
17 **because they have an obligation to serve the customer**
18 **under regulation.**

19 **Q So they shouldn't build capacity because of**
20 **any obligation?**

21 **A They should build capacity looking towards**
22 **whether competition will compensate them for that**
23 **capacity.**

24 **Q Well, that's an altogether different type of**
25 **analysis, isn't it?**

1 A Well, it's an answer to your question. Your
2 question is an altogether different question from
3 whether we're dealing with this contract or not.

4 Q Well, the analysis that one would do to
5 decide whether to build capacity for competition or
6 whether to build capacity for continuing regulation
7 involves an altogether different type of analysis.
8 Wouldn't you agree?

9 A Well, no. I mean, if you're building it for
10 regulation, you're saying, "I have a demand. The
11 demand must be served. I'm the only party that is
12 authorized to serve it. I'm obligated to serve it. I
13 should build the capacity." On the other hand, I'm a
14 competitor. I see a demand. I want that customer. I
15 should build the capacity. It seems to me there's
16 just the same analysis.

17 Q Now about using your discount rate of 13%,
18 and then tell me how a utility in Florida would
19 justify building anything other than a combustion
20 turbine in the near term?

21 A Well, my discount rate has nothing to do
22 with a monopoly utility who can recover all of its
23 cost through --

24 Q Wait a minute?

25 A Let me finish. Let me finish.

1 **MR. CHILDS:** Commissioner, I --

2 **COMMISSIONER CLARK:** Mr. Childs, I think you
3 have been interrupting him, frankly.

4 **MR. CHILDS:** I think that if he can answer
5 the question, he can then explain. He doesn't answer.

6 **COMMISSIONER CLARK:** Okay. That's fair
7 enough.

8 Mr. Larkin, you have to say yes or no and
9 then you can explain. But don't interrupt each other,
10 please.

11 **MR. CHILDS:** All right. I'm sorry.

12 **A** What was the question?

13 **Q** (By Mr. Childs) The question is if we use
14 your discount rate of 13%, how would we justify -- we,
15 being the Commission and the electric utilities and
16 others -- building anything in state for -- in the way
17 of generation other than a combustion turbine?

18 **A** You wouldn't, but then you wouldn't use my
19 discount rate.

20 **Q** I beg your pardon?

21 **A** I said you wouldn't because you wouldn't use
22 that discount rate.

23 **Q** You would not.

24 **A** No. Now, let me finish. I gave you a yes
25 or no answer. I said you wouldn't use it, and you

1 wouldn't use it because this is a monopoly, and as
2 long as it's a monopoly it will get a monopoly return
3 on that, and then that's the discount rate you use.

4 My discount rate reflects the ratepayer's
5 cost of capital, which is significantly higher than
6 the utility's. And what you want to do is to
7 interchange the two and you can't do that.

8 Q Yes, sir, that is exactly what I want to do.
9 And I want to return to the question that -- you
10 answered it, as I understand it, that because it is a
11 monopoly, and that is the utility, that you would
12 use -- one would use the monopoly cost as the discount
13 rate.

14 Don't you recognize that any plant that is
15 built by an electric utility would have a useful life
16 that would extend beyond the period that you say
17 competition would be initiated in Florida?

18 A Well, yes. But not only I say competition
19 will be in effect in Florida, but the Company itself
20 says that. But why that is so is because you want now
21 to put that in the rate base and you want now to ask
22 the ratepayer to pay it, to automatically include that
23 in base rates. You can use any discount rate you
24 want. You can use 13%, you can use 11%; just don't
25 come in here and say put this into the rate base. I

1 don't care what discount rate you use.

2 But inherent in your question is would
3 anybody build a plant using a 13% discount rate and
4 come to this Commission and ask them to put it in
5 rates? I mean, that's inherent in your question.

6 Q That's right.

7 A Okay. And my answer to you is, no, this
8 Commission would not probably accept that.

9 Q All right.

10 A But you can use any kind of discount rate
11 you want when competition gets here, and you can build
12 plants and take the risk. But when you use a discount
13 rate, you're asking the ratepayer to take that risk
14 and that's when it becomes important.

15 Q So I take it, then, that your position or
16 your answer is, is that because of competition that is
17 coming in the state of Florida, that a utility would
18 be unwise to evaluate a generation alternative on the
19 basis of a 13% discount rate?

20 A Well, it depends under what assumptions;
21 that they are going to come to this Commission and ask
22 that they be required to put it in rates, or that they
23 will find their own way of selling that supply?
24 Qualify the question.

25 Q Let's try this. I'll try to narrow the

1 assumptions. You're familiar with the -- with what is
2 commonly called the front-end loading, for example, of
3 the capacity-related cost associated with a coal unit?

4 A In this contract?

5 Q No, sir, in general, for regulation?

6 A Front-end loading of the capacity cost.

7 Q The revenue requirements -- revenue
8 requirements on a coal unit because of the effect of
9 depreciation -- or any plant, they are higher at the
10 front end than they are at the back end; isn't that
11 true?

12 A That's true, but they are not front-end
13 loaded. That's just a fact of life.

14 Q Okay. They are higher at the front end than
15 they are at the back end. And you would accept, as
16 well, that coal, would you not -- a pulverized coal
17 unit or fluidized bed coal unit is much more expensive
18 to build than a combined cycle unit, would you not?

19 A Yes.

20 Q In fact, what's the ratio, 3-to-1, 4-to-1?

21 A I don't know.

22 Q Okay. So it's the fuel cost, is it not, the
23 fuel cost differential between a combined cycle unit
24 and a pulverized coal unit that over time has to
25 provide the cost differential to justify building,

1 say, a combined cycle unit as opposed to a coal unit,
2 would you agree?

3 A Say that again? It's the fuel cost over
4 time?

5 Q It's the fuel cost differential between a
6 pulverized coal unit and a combined cycle unit. Once
7 we know the differential in capacity costs, that tells
8 the decision maker what type of unit to build?

9 A It's the technology in a combined cycle,
10 combined -- the fuel cost per million Btus is higher,
11 gas over coal. But it's the technology and the
12 present value of both revenue streams, the capital
13 revenue stream for the coal plant plus the coal, and
14 the capital revenue stream of the combined cycle plus
15 the fuel compared under present value that tells you
16 what choice to make.

17 Q All right. And when you present value that,
18 typically, how long does it take for there to be a
19 turnaround under current conditions between building a
20 coal unit and building a combined cycle unit?

21 A I don't know. I haven't looked at it.

22 Q What would you assume would be cheaper to
23 build, to the customer, say in the first ten years, a
24 coal unit or a combined cycle unit?

25 A Well, it depends on the price of fuel.

1 Q The price that we have today.

2 A Well, I assume that it probably would be
3 cheaper for a combined cycle unit.

4 Q Right. In the first ten years. Okay.

5 Nov, have you done any review of this
6 Commission's site certification determination of need
7 proceedings?

8 A No, and none is required in this -- for this
9 kind of analysis for this docket.

10 Q Do you know what the standard is that this
11 Commission applies in a determination of need
12 proceeding?

13 A No, and none is required for this analysis
14 in this docket.

15 Q Well, how do you know if you don't know what
16 the standard is?

17 A Because I know what the analysis is, and the
18 analysis should be in this docket and no other party
19 has raised that issue.

20 Q Beg your pardon?

21 A No party has raised that issue. It's not
22 even an issue in had case.

23 Q What issue?

24 A Site analysis or site approval.

25 Q Well, I'm raising it as to your comment

1 about what discount rate to use.

2 A I don't see how it relates to the discount
3 rate in this analysis.

4 Q That's obvious.

5 Have you done any review of the Commission's
6 rules on setting the value of deferral for either
7 standard offer contracts or negotiated contracts?

8 A No, and I don't think any is required.

9 Q Do you know what the rule says about setting
10 value of deferral payments; that is the rule of the
11 Florida Public Service Commission?

12 A No, I don't, but there is no reason that it
13 affects the ratepayer's discount rate.

14 Q Do you know what discount rate is used in
15 the Commission's rules relating to value of deferral?

16 A No, I don't, but it is not the ratepayer's
17 discount rate.

18 Q Okay. Will you identify what orders or
19 rules of this Commission, by reference to title or
20 where cited that you reviewed in preparing your
21 testimony?

22 A I reviewed the documents that were filed in
23 this case.

24 Q Okay. So that means, then, that you don't
25 recall what rules or orders of this Commission you

1 reviewed?

2 A No. What I said is I reviewed the documents
3 that were filed in this case. If there were rules
4 filed, then I reviewed those and I don't believe that
5 there were any.

6 Q Okay. Will you identify me by category of
7 costs, what costs there might be in a Commission
8 determination of most cost-effective alternative that
9 can be substantiated with a greater accuracy than can
10 the accuracy of cost estimates in this case?

11 A Repeat your question. I'm not sure I caught
12 it all.

13 Q Will you identify me what category of costs
14 in a Commission determination of most cost-effective
15 alternatives can be substantiated with any greater
16 accuracy than can the category of costs that are at
17 issue in this proceeding?

18 A I don't know that there are any, but as I
19 pointed out in my testimony, it is the ratepayer
20 that's paying these costs; it's not the companies.
21 And it is not an analysis where the Commission must
22 make a choice. There is not a --

23 COMMISSIONER CLARK: Mr. Larkin, would you
24 listen to the question again and answer it and then --

25 WITNESS LARKIN: I think I did, but maybe I

1 didn't.

2 **COMMISSIONER CLARK:** I don't think you did.

3 **WITNESS LARKIN:** Can I hear the question
4 again or can I hear my answer?

5 **MR. CHILDS:** Yes. And I guess -- I think
6 that -- I've read your testimony and I think everyone
7 else has and I think -- I'd ask, Commissioner, that it
8 seems to me that an explanation of an answer is
9 acceptable, but that counterpunching is very
10 time-consuming.

11 **COMMISSIONER CLARK:** I guess that's
12 concerning me, too, and I would expect that Mr. Howe
13 will, in fact, conduct your redirect.

14 **Q** (By Mr. Childs) I want to return to
15 that --

16 **A** Okay. You were going to reask the question?

17 **Q** (By Mr. Childs) Yeah, I'll try it. Would
18 you identify for me what category of costs in a
19 Commission proceeding for the determination of most
20 cost-effective alternatives can be substantiated with
21 any greater accuracy than can the cost categories that
22 are at issue in this proceeding?

23 **A** And I said I don't think there are any.

24 **Q** Okay.

25 **A** And then I continued to say I don't think

1 that that's an issue in this case. So I've answered
2 your question.

3 Q Okay.

4 A And I went on to say -- I went on to explain
5 why I didn't think that was the case.

6 MR. CHILDS: Commissioner, really, with all
7 due respect, I object to the gratuitous, "I don't
8 think it's an issue in the case." I think that's for
9 you to decide, and I don't think that when the witness
10 has said, "I haven't reviewed the rule; I don't know
11 what it says and I'm not familiar with the
12 proceeding," to then add, "but I don't think it's an
13 issue in the case." And I would -- I think that's
14 objectionable to answer it that way.

15 MR. BOWE: Commissioner Clark, if I might
16 respond.

17 Mr. Larkin is answering within the context
18 of this case that he has reviewed. And what
19 Mr. Larkin had said was it isn't -- hasn't been raised
20 in this proceeding. He hasn't seen it. That's an
21 accurate statement.

22 Mr. Childs is trying to introduce all kinds
23 of extraneous matters. And as long as he wants to go
24 down these avenues, I think he's going to have to deal
25 with the appropriate answers that apply.

1 Now, I have not been objecting because, you
2 know, there has been no reference to anyplace in
3 Mr. Larkin's direct testimony that these questions
4 apply, but I'm confident that Mr. Larkin, with his
5 expertise, can handle the attorney. And I think he's
6 been answering truthfully. And when he says, "It
7 isn't an issue in this proceeding," I think he's
8 answering within the context of the proceeding that he
9 knows that he's in, the issues he has reviewed, the
10 issues he has testified to and that's a valid answer.

11 MR. CHILDS: Commissioner, Mr. Larkin has
12 repeatedly attempted to make a point that the
13 estimates in this case are not accurate and he
14 testifies to that under direct.

15 And I'm attempting to inquire of the witness
16 as to whether there are any other proceedings where
17 this Commission routinely addresses matters such as
18 here; that the accuracy can be can determined with any
19 greater degree of certainty. And the fact that the
20 witness is unaware and has decided not to review these
21 other Commission proceedings, I don't think it's
22 grounds for him to offer his opinion that it's not at
23 issue here. But I will continue.

24 Q (By Mr. Childs) At what point would
25 Florida Power Corporation be permitted to sell, if

1 possible, the capacity out of its contract with OCL
2 and not provide that power to its customers pursuant
3 to regulation in this state?

4 MR. BONE: Objection. Commissioner Clark, I
5 guess I'm going to start objecting to questions that
6 go outside Mr. Larkin's prefiled direct testimony. If
7 Mr. Childs can identify --

8 COMMISSIONER CLARK: All right. You're
9 objecting to it because it's not part of his prefiled.
10 I got that.

11 Go ahead, Mr. Childs. What part does it
12 cover?

13 MR. CHILDS: Well, he has testified to you
14 repeatedly that with the coming of competition that
15 you should, in fact, let Power Corp just wait and take
16 what happens and be struck with the contract. And so
17 I'm trying to inquire of him if that's the proper way
18 to react with one's contract, why they can't operate a
19 little earlier and simply sell it and keep the
20 revenue, if any.

21 COMMISSIONER CLARK: Okay. Where in his
22 direct testimony is it?

23 MR. CHILDS: Well, it is with respect to
24 his -- I don't have the reference of the direct, but I
25 have the reference to what he said in the summary

1 where he spoke about the effect of competition, and
2 that because competition was coming, in the state of
3 Florida, that you should not -- that is, you, the
4 Commission, should not be addressing this issue now,
5 because in the future there wasn't going to be any
6 opportunity for recovery of costs. So I'm inquiring
7 if that's the case, why can't they sell it now?

8 MR. BOWE: Well, Commissioner Clark, the
9 objection remains because there's nothing in that
10 statement that implicates the issue of how will
11 Florida Power Corporation sell this capacity to
12 others? It's not an issue in this docket.

13 MR. CHILDS: I think it's -- it is the
14 issue. They want to make a point to you that -- I
15 guess, that Power Corp is supposed to stay with this
16 contract and then just kind of go down the drain; that
17 when the retail customers go away they are stuck with
18 the contract.

19 COMMISSIONER CLARK: You're exploring what
20 the obligation is for them to continue to provide
21 power under this contract if, in the future,
22 ratepayers don't have to pay for it under the
23 contract.

24 MR. CHILDS: Right.

25 COMMISSIONER CLARK: All right. Go ahead

1 and answer that, Mr. Larkin.

2 WITNESS LARKIN: Repeat the question again.

3 Q (By Mr. Childs) Well, do you think that
4 Power Corp -- let me premise it this way. Do you
5 think that Power Corp has an obligation to mitigate
6 their potential losses under this contract?

7 A Yes. In a hearing or in a position where
8 the below market cost has been used to offset the
9 above market cost. And I said that to the Commission.

10 Q Do you know whether the cost -- are you
11 finished?

12 A No. I said that there will be a time when
13 competition will come and there might be stranded
14 costs, and those can be reviewed and analyzed against
15 those below market costs, and if there's a difference,
16 then that cost can be recovered from ratepayers. But
17 don't segregate the cost now and charge ratepayers for
18 part of it.

19 Q Okay. Are you familiar with the review by
20 this Commission of the contract when it approved it?

21 A Other than what I've read in the orders, no.

22 Q Did you review the order approving the
23 contract?

24 A I reviewed -- probably not the original
25 order, just the order that -- where there was a suit

1 regarding the O&M costs.

2 Q Do you know what the standards are, if any,
3 of this Commission for the review and approval of
4 negotiated contracts for qualifying facilities?

5 A I didn't review those.

6 Q Do you consider that irrelevant?

7 A I think it's irrelevant to this analysis,
8 yes.

9 Q How would you know?

10 A Because this analysis is one of cash flow.
11 This analysis is one of risk; this analysis is one of
12 choosing the right discount for ratepayers.

13 Q Okay.

14 MR. CHILDS: I have an order that I want to
15 pass out at this time, Commissioners. It's Order
16 No. 24734. (Pause)

17 COMMISSIONER CLARK: Is this the whole
18 order, Mr. Childs?

19 MR. CHILDS: It is unless an error is made
20 in copying.

21 COMMISSIONER CLARK: All right.

22 MR. CHILDS: It's supposed to go through

23 Page 21.

24 COMMISSIONER CLARK: All right. Do you want
25 us to take official notice of this order?

1 MR. CHIRDS: I do.

2 CONTRACTORS CLAIM: All right. We'll take
3 official notice of Order 24734 issued in Docket
4 910401-EG.

5 Q (By Mr. Childs) Now, a couple of
6 questions. Would you agree, Mr. Larkin, that this
7 contract with OCL was based upon the avoidance or
8 deferral of a coal unit by Florida Power Corporation?

9 A The capacity and energy charges are based on
10 that calculation.

11 Q Well, does that mean that you agree that the
12 approval of the contract was based upon the deferral
13 of a coal unit?

14 A That that was the avoided cost, yes, but I
15 did not look at whether they would have actually built
16 a coal unit or not.

17 Q They didn't?

18 A I said I did not look at whether that would
19 have been required or not.

20 Q Would you turn to Page 8 that is in the
21 left-hand side of the page of that order.

22 A Yes.

23 Q Now, the second --- would you agree that this
24 reference to Rule 25-17.0032 in the discussion here
25 under approval of contracts that the Commission, in

1 fact, identified the three standards or four standards
2 that it used for approval?

3 A Well, there are three paragraphs there.

4 Q Would you agree or agree subject to check,
5 that the Commission, in fact, applied those standards?

6 A I'll agree that they are in the order here.
7 I don't know how they were applied or if they were
8 applied.

9 Q Okay. Well, turn back to Page 3, if you
10 would, please. In the middle of the second paragraph
11 with the words -- it says, if you can find it, "on a
12 present worth basis," do you have those words?

13 A Yes.

14 Q Let me read that. It says, "On a present
15 worth basis, using FPC's planning assumptions, the 450
16 megawatt of coal capacity has total fuel and capacity
17 costs very close to the 300 megawatt coal and 150
18 megawatt combustion turbine option." Are you familiar
19 with those options?

20 A These particular options?

21 Q Sure.

22 A No.

23 Q Are you familiar in general with those kinds
24 of options and the cost characteristics of those kinds
25 of options?

1 A I'd say in general, yes.

2 Q All right. And continuing it says, in the
3 order, "FPC's projections indicate that beginning in
4 2008 a coal unit's total avoided cost, capacity and
5 fuel, fall below the combustion turbine's total
6 avoided cost on a net present value basis."

7 Now, would you agree -- this order was
8 entered in 1991. Do you know from what point in time
9 that analysis was made, that is whether the analysis
10 as to the comparison on a net present value basis
11 began in 1991 or some later date?

12 A It began in 1991 looking forward?

13 Q Yes.

14 A Oh, I don't know.

15 Q Would you look to that chart that Mr. Howe
16 has put up?

17 A Yes.

18 Q That's up there. Would you agree that this
19 sentence that I just read out of the order reflects
20 that in comparing the cost of a coal unit or a
21 combustion turbine that this Commission recognized
22 that the same sort of situation as is shown on that
23 chart would occur as to the cumulative net present
24 value, and that is that there would be a negative cost
25 until the year 2008? (Pause)

1 **A** I think that the sentence indicates that one
2 unit would have a different net present value and one
3 would exceed the other in the year 2008. That's got
4 nothing -- it's not even remotely similar to that
5 chart.

6 **Q** Well, compare -- this chart that has to do
7 with --

8 **MR. CHILDS:** This chart, Mr. Howe, is this
9 chart that's up there, is that Exhibit 3 or 2, so I
10 have a reference?

11 **MR. HOWE:** Exhibit 2.

12 **Q** (By Mr. Childs) Exhibit 2, that exhibit --

13 **COMMISSIONER CLARK:** Hang on a minute. I
14 believe it's Exhibit 3. Yeah, I have Exhibit 3,
15 Schuster's Exhibit 7.

16 **MR. HOWE:** I'm sorry, Commissioner, I had
17 understood that you had given me a composite number
18 for both charts and that Exhibit 3 was the --

19 **COMMISSIONER CLARK:** You're right. Excuse
20 me.

21 **MR. HOWE:** -- one I withdraw dealing with
22 the tax rate.

23 **COMMISSIONER CLARK:** You're exactly right.
24 So that chart up there is part of Exhibit 2. Thank
25 you.

1 Q (By Ms. Childs) Well, let's test that for
2 a minute, Exhibit 2, Mr. Larkin. That's identified as
3 being based on Mr. Schuster's Exhibit 7, is it not?

4 A Yes.

5 Q And Mr. Schuster's Exhibit 7 is an
6 evaluation of the costs including the payment for
7 buyout of continuing the contract with OCL or building
8 and operating a combined cycle unit, would you agree?

9 A Yes.

10 Q So at least for the period of ten years
11 that's analyzed, we have the comparison of one
12 generation alternative to the other?

13 A Part of the analysis compares one generation
14 alternative to the other.

15 Q That is the --

16 A But there's no payment.

17 Q I'm not there yet. I asked you about the
18 ten years. Would you agree that for the last ten
19 years that the comparison is between the generation
20 alternative of the contract with OCL and the building
21 and operating of a combined cycle unit?

22 A For the last ten years?

23 Q Correct.

24 A Yes. For the ten years that would be bought
25 out, yes.

1 Q Right. And that the difference, if any, is
2 that this analysis assumes that there would be a
3 payment in each of the first five years of the
4 analysis?

5 A Yes.

6 Q All right. Now, when one considers or one
7 compares the present value of one generating unit
8 against another, you would get two revenue streams,
9 would you not?

10 A Yes.

11 Q And then based upon a cumulative present
12 value calculation, you would either have a negative or
13 positive for each year?

14 A That there would be a negative or a
15 positive -- one would be greater or less than the
16 other.

17 Q Sure.

18 A Yeah.

19 Q And you have to start at the beginning, and
20 when you start at the beginning and calculate net
21 present value and continue on a cumulative net present
22 value basis, you're positive or negative when you
23 begin, correct?

24 A Yes, comparing two revenue streams.

25 Q That's right. And this says, does it not,

1 this statement out of the order says that comparing
2 the two that the projections indicate that the coal
3 units avoided costs fall below a combustion turbine's
4 total avoided cost on a net present value basis and
5 that begins in the year 2008?

6 A Okay.

7 Q So do you accept that?

8 A I accept that that's what it says.

9 Q So before the year 2008, when you compared
10 the coal unit to the combustion turbine, wouldn't you
11 agree that of necessity the coal unit had to have a
12 negative net present value compared to the combustion
13 turbine?

14 A It was higher priced.

15 Q And that's exactly what you would expect,
16 isn't it?

17 A I don't know. I didn't do an analysis and
18 that's not involved in this case.

19 Q Okay. So for that first year, starting in
20 1991, if we were to chart the cumulative net present
21 value, comparing the coal unit to a combustion
22 turbine, using the format of Exhibit 2, we would see
23 negatives through the year 2008, would we not?

24 MR. BOWEN: Objection. Exhibit 2 doesn't
25 show a comparison between two alternatives.

1 **MR. CHILDS:** Sure it does.

2 **MR. HOWE:** It portrays one proposal.

3 **MR. CHILDS:** Well, it does compare two
4 alternatives and the witness has already acknowledged
5 that for the last ten year of the comparison.

6 **Q** **(By Mr. Childs) Doesn't it?**

7 **A** **Yes, but that doesn't -- that's not the**
8 **whole comparison.**

9 **Q** **Oh, everybody knows that this has a**
10 **five-year payment, Mr. Larkin.**

11 **A** **Yeah, but you're trying to mix apples and**
12 **oranges, and you're trying to come out with a**
13 **conclusion that doesn't make any sense.**

14 **Q** **Well, I'll move on as to the comment.**

15 **This Commission routinely has to face the**
16 **decision of what generating alternatives to select,**
17 **does it not?**

18 **A** **Yes. But this isn't -- yes, but this case**
19 **is not one of those cases.**

20 **Q** **Is this case, that is the one addressed in**
21 **Order 24734 one of those occasions?**

22 **A** **I don't know. I haven't reviewed it, but I**
23 **assume that it is.**

24 **Q** **Assume what?**

25 **A** **That it is.**

1 Q So you haven't reviewed the Commission's
2 rules on setting prices for purchases from qualifying
3 facilities; is that correct?

4 A Yes.

5 Q You haven't reviewed any of the orders
6 adopting those rules; is that correct?

7 A That's correct.

8 Q You haven't reviewed any of the orders
9 setting avoided costs for purchases from qualifying
10 facilities?

11 A That's correct, and I don't think they are
12 relevant.

13 Q You haven't reviewed any tariffs containing
14 prices for purchases from qualifying facilities?

15 A That's correct, and they are not relevant.

16 Q I don't think that's -- have you -- do you
17 know whether there are any tariffs?

18 A For qualifying facilities?

19 Q For purchases from qualifying facilities?

20 A Well, they are probably not tariffs that --
21 they automatically flow through the fuel adjustment
22 clauses and the capacity clause.

23 Q I beg your pardon?

24 A They flow through the fuel adjustment clause
25 and the capacity clause. There aren't any tariffs

1 that I know of.

2 Q Okay. You haven't reviewed any proceedings
3 of this Commission in determination of need of -- in
4 determining need as it relates to the comparison of
5 generation alternatives?

6 A That's correct.

7 Q Okay. Will you accept that this Commission
8 does use the utility's after-tax cost of capital in
9 evaluating generating alternatives for that utility?

10 A I will accept that, but I don't think it's
11 appropriate in this case.

12 Q Would you accept that this Commission used
13 the after-tax cost of capital of Florida Power
14 Corporation in evaluating this particular contract?

15 A Yes.

16 COMMISSIONER CLARK: Which particular
17 contract?

18 MR. CHILDS: It's the contract between -- I
19 mean the contract between Florida Power Corporation
20 and OCL --

21 COMMISSIONER CLARK: Okay.

22 MR. CHILDS: -- that is addressed in this
23 Order 9 -- excuse me, 24734.

24 COMMISSIONER CLARK: Well, is it the same
25 contract that's being bought out or being amended in

1 this proceeding?

2 Q (By Mr. Childs) Do you know, Mr. Larkin,
3 if the contract addressed in this order is the same as
4 the one being bought out?

5 A No, I don't know that, but I assume that it
6 was.

7 Q Will you accept that it is?

8 A Yes.

9 Q You're not aware of any other contracts
10 between Florida Power Corporation, are you? (Pause)
11 And OCL?

12 A I was just looking for the name, but I don't
13 see the name in the -- in the order.

14 Q Okay. Well, turn to Page 18 of the Order,
15 if you would. Do you have that?

16 A The last page I have is 11. You said
17 there's a Page 18 or a 12?

18 COMMISSIONER CLARK: It's a chart, right?

19 MR. CHILDS: It's a chart.

20 WITNESS LARKIN: Oh.

21 Q (By Mr. Childs) Says Page 18.

22 A Okay. I've got it.

23 Q Doesn't this reflect that the contract
24 payments were compared to the avoided cost of Florida
25 Power Corporation? (Pause)

1 **A** Where are you looking at?

2 **Q** I'm looking at the title, "Comparison of
3 Contract Costs and Avoided Costs."

4 **A** But it doesn't say what corporation. It
5 doesn't say Florida Power Corp.

6 **Q** Isn't that what this order is about?

7 **A** I assume that it is, but I, you know --

8 **Q** I thought you accepted that subject to
9 check.

10 **COMMISSIONER CLARK:** Mr. Larkin, look at the
11 title of the docket on the front.

12 **WITNESS LARKIN:** Yes, I see that on the
13 docket, but that doesn't mean this comparison in the
14 back has got anything to do with what's -- you know,
15 it could be any kind of comparison.

16 **Q** (By Mr. Childs) Could it?

17 **A** I assume that it has to do with Florida
18 Power Corp, but it's not labeled as such, and it
19 doesn't say on any of the headings that it's Florida
20 Power Corp's avoided cost. But I'll accept that,
21 subject to check.

22 **Q** Well, let's then back up to Page 9 under
23 cost-effectiveness. Would you look at the first
24 sentence there? "The analysis provided by FPSC with
25 its petition indicated that the present value of its

1 payments to each of the QFs for firm capacity and
2 energy will be no greater than the present worth of
3 the value of the year-by-year deferral of FPC's
4 avoided costs."

5 A Yes.

6 Q Does that help you conclude that this is
7 FPC?

8 A Oh, yeah.

9 Q Would you turn to Page 10?

10 A But --

11 Q Excuse me.

12 A It does say of the QFs, so --

13 Q Sure.

14 A -- there's more than one QF.

15 Q Right. Let's turn to these sheets, sir,
16 which is a summary of contracts. It lists all the
17 QFs, doesn't it?

18 A Yes.

19 Q That's Page 13?

20 A Yes.

21 Q And there's a sheet for each one of those?

22 A Yes, I see that.

23 Q And the one I asked you about was Orlando
24 Cogen, Limited, L.P., on Page 18.

25 Now, would you turn to Page 10 of the order?

1 And look at the top paragraph. It says, "At the time
2 the petition for approval was filed, FPC was in the
3 process of updating the K factor associated with its
4 avoided costs." Do you know what the K factor is?

5 A It's a term that has to do with the cost of
6 capital.

7 Q Doesn't it have to do with comparing the
8 total revenue requirements to the installed cost of a
9 facility?

10 A It may. I don't recall right offhand.

11 Q Well, let's help you then. I'm going to
12 suggest that we look at the rule, and I'm going to
13 circulate a copy of it.

14 MR. HOWE: Commissioner Clark, I'm going to
15 object to any introduction of a rule. I believe
16 Mr. Childs is going to try to attempt to introduce the
17 rule the Commission has dealing with cogeneration.
18 And as I pointed out earlier in my opening statement,
19 the Commission has a rule that a petitioning party
20 must cite to the rules and orders which entitle them
21 to relief. There is no recitation of such a rule in
22 Florida Power Corporation's petition, in its protest
23 of the PAA, or in any direct testimony we have had so
24 far. So I would object to any attempt to introduce a
25 rule through my witness in an attempt to create a

1 claim that is not in the record.

2 COMMISSIONER CLARK: Hang on just a minute.

3 (Discussion off the record.)

4 COMMISSIONER CLARK: Mr. Howe, I understand
5 -- I think it's okay to ask him about the rule,
6 whether or not they have appropriately put it at issue
7 is a different issue.

8 MR. HOWE: Commissioner Clark, Mr. Larkin
9 has already stated that he has not reviewed --
10 Mr. Larkin has already stated that he has not reviewed
11 any rule. And so asking him to look at a rule that he
12 has not reviewed, I doubt can be anything other than
13 an attempt to get a rule in the record.

14 COMMISSIONER CLARK: Well, I view this as
15 testing a basis on which Mr. Larkin has made his
16 opinion that this is not cost-effective to the
17 ratepayers, and I think Mr. Childs is entitled to test
18 that.

19 MR. HOWE: But he has stated he has not
20 reviewed any Commission rule on the subject.

21 COMMISSIONER CLARK: But we're talking about
22 avoided cost and I -- Mr. Childs, why are we looking
23 at the rule?

24 MR. CHILDS: Well, I think we're -- first,
25 we're looking at the rule because this witness is

1 testifying as to the discount rate to use. And
2 contrary to Mr. Howe's characterization, the witness
3 said, when I suggested referencing and want to
4 reference the rule, that he didn't recall what was in
5 the K factor. I'm not trying to get -- I don't think
6 you can do that. I mean, the rule is a rule, whether
7 you put it in evidence or not, that doesn't create a
8 basis for relief.

9 Q (By Mr. Childs) Do you have that rule in
10 front of you?

11 COMMISSIONER CLARK: You were going to give
12 us all a copy.

13 MR. CHILDS: Yes.

14 COMMISSIONER CLARK: Did you give Mr. Howe
15 one?

16 MR. CHILDS: Yes.

17 WITNESS LARKIN: Yes.

18 MR. CHILDS: And while that is being
19 distributed, what I'm referring to is ss 25-17.0832.
20 If you'll look to the top of that document on the
21 right, you will see that there are different pages.
22 I'm looking at Page 332. And I'd like to have this
23 marked. I think you can rely upon your rules, anyway,
24 but for reference I'd like to -- we don't need that.

25 Q (By Mr. Childs) Do you have that rule in

1 front of you?

2 A Yes.

3 COMMISSIONER CLARK: I'm sorry. What do you
4 want me to do?

5 MR. CHILDS: I withdraw my request that you
6 mark it.

7 COMMISSIONER CLARK: Okay.

8 Q (By Mr. Childs) Would you agree,
9 Mr. Larkin, that the K factor is defined there in the
10 formula on the left-hand side of that page?

11 A Yes.

12 Q Now, would you agree that in the calculation
13 of the carrying charges for determining the K factor
14 that the utility's cost of capital is used?

15 A It doesn't say that under the K factor.

16 Q Okay. Would you see the reference to a
17 little term "r", small "r" on the right-hand side,
18 defined as the annual discount rate being the
19 utility's incremental after-tax cost of capital?

20 A Yes.

21 Q What does the incremental after-tax cost of
22 capital mean to you?

23 A It means the next group or the next issue of
24 debt or equity or a combination of that would be
25 incremental.

1 Q What issue of what?

2 A The next incremental issue of capital.

3 Q Does that mean all capital?

4 A I would assume so, yeah.

5 Q All sources of capital?

6 A Yes.

7 Q Okay. (Pause.)

8 MR. CHILDS: Excuse me one moment.

9 I have another document that I'd like to
10 circulate at this time.

11 The first page is entitled, "Comparison of
12 OCL Contract Buyout to Coal-Fired Generation," and
13 this was from Mr. Schuster's Document 5. I don't
14 remember what exhibit that was. And on the second
15 page is from page -- I'm sorry, don't do that. We've
16 copied the wrong page. Just look at the first page.

17 COMMISSIONER CLARK: All right. Just look
18 at the first page.

19 MR. CHILDS: Take the second page off.

20 COMMISSIONER CLARK: All right.

21 Q (By Mr. Childs) Now, if you, Mr. Larkin,
22 would look at the page comparison of OCL contract
23 buyout to coal-fired generation, and, also, then, go
24 back to Page 16 of Order No. 24734, I'd appreciate it.

25 MR. CHILDS: And while he's doing that,

1 Commissioner, would you please mark this sheet for
2 identification?

3 COMMISSIONER CLARK: We'll mark it as
4 Exhibit 11, "Comparison of OCL Contract Buyout to
5 Coal-Fired Generation."

6 (Exhibit 11 marked for identification.)

7 MR. CHILDS: Okay.

8 MR. HOWE: Excuse me, Commissioner Clark, As
9 I understand, this is already in the record as part of
10 Mr. Schuster's exhibit.

11 MR. CHILDS: Yeah, I just thought it was a
12 whole lot easier to have it marked for identification
13 to refer to, rather than saying it's one of the pages
14 of something else. Is that okay?

15 MR. HOWE: Yes.

16 COMMISSIONER CLARK: Wonderful, we have
17 agreement.

18 Q (By Mr. Childs) Have you looked at these
19 two sheets now Mr. Larkin?

20 A I glanced at them.

21 Q All right. Look at Column 2 on the sheet
22 entitled "Comparison of OCL Contract Buyout."

23 A Yes.

24 Q Does that look like what one would expect to
25 see in terms of the revenue requirements for a power

1 plant?

2 A You could have a revenue stream that flowed
3 like that, but I wouldn't know that without
4 calculating it. So the answer is it may be, but I
5 don't know.

6 Q Okay. Now, would you know that the net
7 present value on this sheet is 194,677,293?

8 A That's what it's labeled as.

9 Q Would you then look to the net present value
10 that's identified on Page 18 of Order No. 24734 and
11 agree that the net present value is almost exactly the
12 same?

13 A I can't read it.

14 COMMISSIONER GARCIA: Would you repeat the
15 question?

16 MS. CHILDS: I'm asking him, Commissioner,
17 to look at the sheet, "Comparison of OCL Contract
18 Buyout to Coal-Fired Generation," the number for net
19 present value of 194,677,000, et cetera, and compare
20 that to the net present value shown on Page 18 of
21 Order No. 24734, and ask him if he would agree that
22 they are almost exactly the same.

23 A Well, there are several net present value
24 numbers on that page.

25 Q (By Mr. Childs) Okay. Look at the one

1 under contract capacity credits, dollar by year?

2 A Yes.

3 Q Isn't that almost exactly the same?

4 A Well, 194 million is the same, but the rest
5 of the numbers aren't.

6 Q Well, we're what, \$200,000 off out of
7 200 million?

8 A I don't know.

9 Q You don't know?

10 A No.

11 Q Okay. Now, going back to the chart which
12 has been marked as Exhibit 11, it's obvious there that
13 the numbers are larger in the earlier years than the
14 later years. If this chart represents the revenue
15 requirements for a coal unit, the capacity costs,
16 doesn't this reflect that there's a sure disparity in
17 the payment streams that customers are expected to
18 pay?

19 A No.

20 Q All right.

21 A Because you don't know what's put into
22 rates, and this is a calculation of a revenue stream.
23 The numbers put into rates may be the first number or
24 the second number, 94, 95. Ratepayers -- the rates
25 may not change for ten years, so ratepayers would pay

1 25 or 28 million dollars for ten years, even though
2 the revenue stream changes.

3 Q Sure. That could happen. And here we could
4 have \$28 million put in rates for these customers, and
5 they pay for that ten years until rates are changed,
6 right?

7 A Right.

8 Q How is that treated for recovery of capacity
9 costs under a contract with a qualifying facility?

10 A Whatever the capacity payments are they are
11 recovered.

12 Q There's a direct pass-through, right?

13 A That's correct?

14 Q So we don't have this problem of recovering
15 \$28 million for ten years, right?

16 A That's correct. But your question was what
17 are ratepayers expected to pay for a coal generating
18 unit.

19 Q I asked you about several other proceedings,
20 and I think you said that you were not familiar with
21 them as, for instance, conservation. Do you know when
22 this Commission evaluates conservation programs
23 whether it assumes that the costs are recovered from
24 customers?

25 A I don't know that, but I would assume that

1 they do.

2 Q Would you assume that, really, in any
3 financial evaluation of alternatives for a utility
4 that one would assume that the costs are recovered
5 from the customer?

6 A Yes.

7 Q Okay. So if the Commission were looking at
8 Column 2 as an estimate of the coal generation annual
9 capacity cost, in trying to make a comparison of that
10 against the OCL contract annual capacity cost, it
11 would assume that both of those cost strings were
12 being recovered from customers, would it not?

13 A Well, it could assume that, but that
14 wouldn't be the case.

15 Q But it would assume that in making its
16 decision?

17 A Yes.

18 Q All right. Now, your testimony is that
19 capacity payments are lower in the OCL contract to
20 ensure performance, but you have testified that you
21 have no knowledge of the Commission rules or orders
22 relating to cogeneration. Would you agree?

23 A Yes.

24 Q Would you agree then that your statement
25 about they are lower in the OCL contract to ensure

1 performance is then not based upon any statement of
2 this Commission in the approval of capacity costs?

3 A Well, that was my opinion as to why they did
4 it that way.

5 Q But your opinion is based upon not looking
6 at the relevant data?

7 A No, my opinion is based on what I read in
8 Commissioner -- statements by the Staff or in
9 somebody's testimony.

10 Q But your counsel just objected to any
11 reference to the rule because you hadn't read that?

12 A No, I didn't said I read a rule, I said --

13 Q Hadn't read that?

14 A Yeah. Well, I said that was based on what I
15 read in somebody's testimony.

16 Q Well, where is that?

17 A Well, it was probably in Mr. Schuster's
18 testimony?

19 Q I don't know.

20 A As a quote from the Staff.

21 Q Wouldn't you think it was -- are you
22 looking?

23 A Yeah. Go ahead. Go ahead.

24 Q Then you say, "In other words -- in your
25 testimony -- "to ensure that OCL meets its obligations

1 to provide capacity and energy, it is not compensated
2 up front for the full amount of its investment and
3 capacity." On what do you base that?

4 A I think it's either in one of the orders or
5 it's my conclusion from what I read in the orders.

6 Q But when I asked you about an order, I think
7 you said you didn't recall having read any addressing
8 this subject; isn't that correct?

9 A Well, it's in one of the orders related to
10 this case.

11 Q Have you ever heard the discussion of PURPA
12 and what cost information one may obtain from a
13 qualifying facility under PURPA?

14 A I know what PURPA is and I'm familiar with
15 PURPA.

16 Q Well, would you agree, sir, that it is not
17 permitted to look to the investment that a qualifying
18 facility makes in its generating capacity in
19 determining what to pay it?

20 A Yes.

21 Q And it's against the law?

22 A Yes. I understand.

23 Q Okay. Then what investment in capacity was
24 OCL not being compensated for?

25 A Well, in case their capacity costs were

1 greater than the avoided cost, or if it didn't
2 perform, or there was some other problem with the
3 unit.

4 Q Now, you also state that, in talking about
5 the structure of payments for -- on the value
6 deferral, that customers at the beginning are taking
7 the risk of nonperformance and receiving the benefit
8 of lower cash payment for that risk, that's at Page 8?

9 A Yes.

10 Q What do you base that on?

11 A Again it was my analysis of the statements
12 that were in the original documents.

13 Q So if we look through here, and we don't
14 find anything that addresses this, then you will be in
15 error?

16 A No. I said it was my analysis.

17 Q Object. Well, I asked you what orders you'd
18 looked at, and I asked you what rules you'd looked at
19 and I think you didn't identify any.

20 A Yes. No, I told you I looked at the
21 documents involved in this case and it's in this case.

22 Q Well, where specifically is there a
23 statement that customers at the beginning are taking
24 the risk of nonperformance?

25 A No, that's -- I told you that was my

1 analysis of that statement.

2 Q That's your analysis?

3 A Yes.

4 Q But you said your analysis was based on not
5 knowing the basis for the structure of the payments.

6 A No. I told you my analysis was based on the
7 statements in the orders.

8 Q No, I'm sorry. I thought you said your
9 knowledge did not reflect what was the basis, for
10 instance, the computation of K, correct?

11 A Computation of K?

12 Q K. K factor we just talked about it in the
13 rule.

14 A Yes.

15 Q You didn't know that?

16 A I didn't know what the basis of the K factor
17 was in the original contract.

18 Q Well, then why don't you tell me how one
19 calculates the value of deferral?

20 A I told you -- you were asking me what is the
21 basis of my statement, and I said that there were
22 statements in this order, in this docket that
23 indicated that the deferral was set up the way it was
24 in order to ensure performance. And my analysis of
25 that is that is a risk defining -- that's how one

1 compensates for risk by back-end loading the payments.

2 And I said to you that I got that out of one of the
3 orders in this case.

4 Q Okay. Would you agree, subject to check,
5 that this Commission's rules do not support that
6 statement?

7 A I would not -- I told you -- well, my
8 analysis of the statement that there is risk
9 associated with it --

10 Q Okay.

11 A -- is based on what is in one of the orders.
12 And I don't know --

13 COMMISSIONER CLARK: And you would not
14 accept, subject to check, that the rule says
15 otherwise?

16 WITNESS LARKIN: I will accept that, subject
17 to check, that it says otherwise.

18 Q (By Mr. Childs) Okay. Would you turn to
19 your Document NL-1?

20 A Yes.

21 Q Where you did the calculation based upon an
22 alternate rate of return, I guess that's a discount
23 rate of 13%?

24 A Yes.

25 Q And you calculate a negative net present

1 value of \$4,690,000 -- is that thousand dollars?

2 A Million.

3 Q Four million?

4 A 4,690,000.

5 Q I can't read whether the last mark is a
6 comma or a period. It goes too many places.

7 A It's a period.

8 Q You're familiar with the calculation of
9 internal rate of return?

10 A Yes.

11 Q Would you agree that this revenue stream,
12 that is the one under Column 3, when discounted at
13 your -- excuse me, when you compare that to the
14 payments up front, produces an internal rate of return
15 of approximately 12.2%?

16 A It may, but that's not the proper analysis.
17 The proper analysis is the discount of the ratepayer's
18 payment because the ratepayer is the one that is
19 making the rate of return.

20 Q Sure. But when you calculate --

21 A The ratepayer is making the payment.

22 Q I beg your pardon?

23 A The ratepayer is making the payment.

24 Q Sure, the ratepayer, under your assumption,
25 is making the payment of five payments of \$9,881,000,

1 correct?

2 A Correct.

3 Q And then in return on your sheet you show --
4 you show savings starting in the year 2014 and
5 continuing through 2023?

6 A Right.

7 Q And that totals the \$472 million?

8 A That totals to --

9 Q Approximately?

10 A Well, I don't know what it totals to, but
11 that is not the net present value.

12 Q No, I'm not asking that.

13 A It totals to a number that would be --

14 Q But when one compares the payment for the
15 five years to the revenue or the savings, my question
16 is wouldn't you agree that that equates to a return to
17 the customer of approximately 13%?

18 A It may, as they say, but what the proper
19 calculation is, is to use the discount rate that that
20 ratepayer would pay or avoid had he kept the money
21 himself. And I haven't made that calculation because
22 I don't think it's appropriate.

23 Q Well, I want to pursue that for a minute.
24 You have assumed that 13% is the appropriate rate of
25 return, correct?

1 A Discount rate, yes.

2 Q And -- discount rate. And using 13%, you
3 calculate net present value of negative 4.6 million.

4 A Yes.

5 Q And all I'm asking you is what is the actual
6 rate of return that the stream of benefits provides?

7 A You mean what it will be if it comes out to
8 zero?

9 Q You could state it that way. What rate of
10 return would make the net present value come out to
11 zero?

12 A Yeah. It would be about 12.9%, but that is
13 not -- what's included within that assumption is that
14 the ratepayer is actually going to get all those
15 dollars, and that his discount rate is 12.9%. If his
16 discount rate is higher than 12.9%, then it's a bad
17 deal for him, and that's why I used the 13% rate of
18 return.

19 What you want me to do is substitute
20 something else, assume that all other projections are
21 correct, and that he's going to get every dime that
22 you show here, which is not correct, and that he gets
23 some rate of return that you think is 12.9%.

24 Q I just asked you for --

25 A It's a calculation, but I disagree with it.

1 Q I just asked you for the mathematical
2 result.

3 A Yeah.

4 Q I didn't ask you to make any of those other
5 assumptions, did I?

6 A But that's inherent in your question.

7 Q Okay. How many customers of Florida Power
8 and Light borrow at 13%?

9 A Oh, I don't know.

10 MR. HOWE: Object to the form of the
11 question. I believe you mean Florida Power
12 Corporation.

13 Q Well, let's do a survey. I mean, have you
14 looked at what any customers in the state borrow at?

15 MR. HOWE: My question was you said Florida
16 Power and Light, I understood.

17 MR. CHILDS: Yes.

18 MR. HOWE: Did you mean that?

19 MR. CHILDS: Yes.

20 MR. HOWE: Okay.

21 WITNESS LARKIN: Florida Power and Light?

22 Q (By Mr. Childs) Yes.

23 A I don't know what -- what I did was go to a
24 bank. And I got the bank's rates, and I asked, and I
25 looked at those rates and I took the lowest rate for

1 an unsecured loan.

2 Q How about Gulf Power?

3 A There may be customers that borrow at 13 to
4 18%. How many, I don't know.

5 Q You don't know. Aren't there significant
6 differences in the customer makeup in the state of
7 Florida?

8 A Sure.

9 Q And did you ask for rates in the Florida
10 Power Corporation service territory?

11 A No.

12 Q You didn't?

13 A No, and I don't think it's relevant.

14 Q Do you know how many customers in Florida
15 Power Corporation's service territory borrow are at
16 13%?

17 A No.

18 Q Do you know how many customers in Florida
19 Power Corporation's service territory that do borrow
20 also attempt to save for retirement?

21 A There probably are a lot.

22 Q And do you know what rate they might expect?

23 A Relevant to this kind of risk, it would be
24 high.

25 Q On their retirement?

1 **A** **No. Well, no. You have to look at that in**
2 **relationship to this transaction. You can't look at**
3 **that and say let's switch and look at retirement.**

4 **If you were to ask a customer who is saving**
5 **for retirement to take this kind of risk, it would**
6 **probably be a significantly higher rates of return**
7 **than 13%.**

8 **Q** **Let's talk about risk for a minute. Isn't**
9 **it correct that you don't know what the risk is?**

10 **A** **I don't think I know, nor do you, nor does**
11 **anybody else.**

12 **Q** **So if you don't know what the risk is, then**
13 **to say they wouldn't accept it for this kind of risk**
14 **doesn't tell us anything because you don't know what**
15 **that risk is?**

16 **A** **I know what I would do and what I think**
17 **customers with a comparable transaction would accept.**
18 **And it's my opinion that they would not accept a**
19 **return of less than 13%, which would go negative.**

20 **All the company has done is made the**
21 **opposite assumption and said, "Here is what we think**
22 **it would be, the discount rate, and this is where we**
23 **think it would come out." So the Commission has to**
24 **conclude their own -- in their own manner what they**
25 **think the appropriate discount rate is.**

1 Q I agree.

2 MR. CHILDS: That's all I have.

3 COMMISSIONER CLARK: Staff. Mr. Keating,
4 how much do you think you have?

5 MR. KEMPING: I think we can all make the
6 evening news. Only a few questions.

7 COMMISSIONER CLARK: Wait a minute. Are you
8 talking about the 11:00? (Laughter)

9 MR. KEMPING: No, maybe the 6:30.

10 COMMISSIONER CLARK: All right.

11 MR. KEMPING: I just have a few questions.

12 CROSS EXAMINATION

13 BY MR. KEMPING:

14 Q Mr. Larkin, on Page 7 of your testimony you
15 state that you believe that it's unlikely that many,
16 if any, customers will collect for the payments that
17 they have to make currently in order to receive some
18 future benefit which is subject to the risk of fuel
19 and capacity projections and changes in regulation.
20 Have you reviewed any demographic information on
21 Florida Power Corporation's customer base?

22 A No, but I assume that they are quite old.
23 Or the average age is probably about 50.

24 Q And what do you base that assumption on?

25 A Just my own feeling about what the age

1 demographics are in Florida.

2 Q So you haven't reviewed the percentage of
3 Florida Power Corporation's customers falling within a
4 particular age group?

5 A No.

6 COMMISSIONER GARCIA: I would assume your
7 using Jack Shreve to figure out that average, right?

8 WITNESS LARKIN: He's one of the younger
9 ones.

10 MR. SHREVE: I was going to suggest that we
11 might put a notice out and let the customers respond
12 as to whether they think they will or not.

13 Q (By Mr. Keating) Now, Mr. Larkin on Page 5
14 of your testimony you express your concern about
15 Florida Power Corporation's use of their after-tax
16 marginal cost of capital as the discount rate in their
17 analysis of customer benefits from the buyout; is that
18 correct?

19 A Yes.

20 Q On Lines 2 and 3 of Page 7 of your testimony
21 you state that Florida Power Corporation's marginal
22 cost of capital does not affect any of the components
23 of the costs passed on to the ratepayers; is that
24 correct?

25 A Yes.

1 **Q** Doesn't Florida Power Corporation's
2 replacement case assume that Florida Power Corporation
3 puts in a combined cycle unit?

4 **A** Yes.

5 **Q** Wouldn't the Company's marginal cost of
6 capital affect the cost of putting in a new generating
7 unit?

8 **A** Yes.

9 **Q** On Page 5 of your testimony, at Lines 17 to
10 18, you stated that a discount rate more akin to an
11 interest rate on an unsecured loan or a credit card,
12 which you estimate ranges from 13% to 18%, is a more
13 appropriate way to measure ratepayer savings; is that
14 correct?

15 **A** Yes.

16 **Q** Aren't credit cards and other unsecured
17 loans often available to consumers at much lower
18 rates?

19 **A** No. There might be some rates that are
20 teaser rates, or rates that might be that level for 60
21 days or a year, and then they ramp up to 15, 16. But
22 what I did was go to a bank and get the bank's rates,
23 and I looked at the lowest rate for the unsecured
24 loan.

25 **Q** Would you agree, subject to check, that a 13

1 to 18% discount rate implies a payback period of
2 approximately 5.5 to 8 years?

3 A Payback? Payback, I guess I'm not following
4 your question.

5 COMMISSIONER CLARK: Would they give the
6 same 13% rate for something where the payback period
7 was beyond, say, ten years? Would the rate be higher
8 or lower, do you think?

9 A Oh. Well, based on this kind of unsecured
10 loan it would be higher.

11 Q Do you believe that replacing Florida Power
12 Corporation's fuel and inflation assumptions with
13 those from a independent source is an appropriate
14 sanity check of Florida Power Corp's fuel and
15 inflation assumptions?

16 A Well, I never looked at the individual
17 assumptions. I just accepted them the way they are.
18 I think they are all fairly risky.

19 Q But do you believe that if their assumptions
20 were replaced with assumptions from a independent that
21 that would be an adequate sanity check?

22 A Yes, that would be a better analysis.

23 Q How long do you estimate that customers who
24 make payments in the first five years must remain on
25 the system to receive benefits? (Pause)

1 **A** Seventeen years before the first benefit is
2 received. In the 18th year.

3 **Q** Would you agree that today's ratepayers may
4 be enjoying the benefits of costs borne by yesterday's
5 ratepayers for other projects, for example, in the
6 case of a generating plant which is largely
7 depreciated?

8 **A** No. I mean, they may be paying the same
9 rates that those other ratepayers pay.

10 **Q** On Page 8 of your testimony you state that
11 the higher payments at the end of the contract are
12 justified to guarantee performance of the cogen and
13 that customers at the beginning of the OCL contract
14 are compensated for the risk of nonperformance with
15 lower costs; is that correct?

16 **A** Yes.

17 **Q** Under value of deferral methodology, isn't
18 the net present value of the payment stream less than
19 or equal to the net present value if the company built
20 the avoided unit under traditional ratemaking
21 practices?

22 **A** State the question again.

23 **COMMISSIONER CLARK:** Mr. Keating, would you
24 speak up a little bit? I'm having trouble hearing
25 you.

1 **MR. KEMPING: Sure.**

2 **Q (By Mr. Keating) Under value of deferral**
3 **methodology, isn't the net present value of the**
4 **payment stream less than or equal to the net present**
5 **value if the company built the avoided unit under**
6 **traditional ratemaking practices?**

7 **A I don't know. I didn't look at it from that**
8 **standpoint. That could be correct. I just don't**
9 **know.**

10 **Q Would you summarize the alternative proposal**
11 **to the buyout that you addressed in your testimony on**
12 **Pages 11 to 13?**

13 **A There's only one alternative proposal and**
14 **that is that the company fund the buyout and receive**
15 **back its net present value plus a rate of return equal**
16 **to its overall rate of return with a balance going to**
17 **the ratepayer. And that could be structured to occur**
18 **whenever it occurs.**

19 **Q Under your alternative proposal, you state**
20 **that in return for making the buyout payments Florida**
21 **Power Corporation should receive a return, plus the**
22 **buyout payments in the years 2014 through 2023. Is**
23 **that correct?**

24 **A Well, to the extent necessary to compensate**
25 **them for their up-front payments and their cost of**

1 capital. I did not state or I don't believe I stated
2 that they ought to receive all of the benefits if
3 there are any.

4 Q Are you finish with your answer, Mr. Larkin?

5 A Yes.

6 Q Okay. How would the Company receive the
7 savings?

8 A Well, that's the question. They would
9 continue -- if there is an automatic adjustment
10 clause, they would continue to charge the ratepayer.

11 Q Under your alternative proposal, how would
12 the Company receive the savings?

13 A They would continue -- if there's an
14 automatic adjustment clause, they would continue to
15 charge the ratepayer at the higher capacity cost until
16 the time that they've recovered all of their up-front
17 payments plus the net present value rate of return, so
18 that they end up having paid nothing or gained
19 nothing.

20 Q Would you now please refer to Composite
21 Exhibit 8? Do you have a copy of that exhibit?

22 A Oh, that's your Composite Exhibit 8. No, I
23 don't, and I'm going to get a copy.

24 Q Yes. Staff is bringing a copy to you.

25 A Well, I've got it up here. Tell me what the

1 numbers at the bottom are.

2 Q It was previously identified as LGS-24.

3 A I've got it. Composite Exhibit 4, LGS-24,
4 okay. What page?

5 Q I believe that there's a -- I'm sorry. Did
6 I give you Composite Exhibit 4? Did I refer you to
7 Exhibit 4?

8 A LGS-24 is what I have. And I've got that
9 marked as Composite Exhibit 4. Now, I may have it
10 mismarked.

11 Q I apologize. It's Composite Exhibit 8 that
12 was previously identified as LGS-30.

13 COMMISSIONER CLARK: Is it getting late, Mr.
14 Keating?

15 MR. KEATING: Excuse me?

16 COMMISSIONER CLARK: I said is it getting
17 late?

18 WITNESS LARKIN: I've got it.

19 Q (By Mr. Keating) I believe that's only one
20 page?

21 A Yes.

22 Q Do you recall the discussion that I had
23 earlier with Mr. Schuster concerning this page?

24 A I believe so. About the debt tax deduction
25 component? Is that the question?

- 1 Q Yes.
- 2 A Okay.
- 3 Q Does it appear to you that the derivation of
- 4 this discount rate assumes the mixture of long-term
- 5 debt and equity?
- 6 A Yes.
- 7 Q Referring to the line titled, "Debt Tax
- 8 Deduction Component," does it appear to you that this
- 9 line represents the savings and income taxes due to
- 10 the deduction of interest expense associated with the
- 11 long-term debt financing?
- 12 A It is.
- 13 Q Would you agree that Florida Power
- 14 Corporation -- I'm sorry, I withdraw that.
- 15 IF Florida Power Corporation finances the
- 16 OCL buyout by collecting additional revenues from
- 17 ratepayers through the adjustment clauses, is there
- 18 any long-term debt or associated interest expense?
- 19 A There is none.
- 20 Q So in your opinion, is it appropriate to
- 21 deduct a debt tax deduction component from the
- 22 composite cost of capital on this table if Florida
- 23 Power Corporation will not issue any additional debt
- 24 and will not have any additional interest expense for
- 25 the contract buyout?

1 **A** **No, it is not appropriate, and neither is**
2 **the discount rate appropriate.**

3 **MR. KEMPINS:** **Staff has no more questions.**

4 **COMMISSIONER CLARK:** **Commissioner Garcia?**

5 **I just have one question and you may have**
6 **answered it in all of your questions.**

7 **Have we ever used the customer discount rate**
8 **in making this kind --**

9 **WITNESS LARKIN:** **I don't know that you have.**
10 **I don't know one way or the other, but it's**
11 **appropriate to do so.**

12 **COMMISSIONER CLARK:** **Okay. Redirect?**

13 **MR. HOWE:** **No redirect.**

14 **COMMISSIONER CLARK:** **Any recross? I'm just**
15 **kidding.**

16 **All right. Mr. Larkin, are you through**
17 **answering questions? You appear to continue to**
18 **look --**

19 **WITNESS LARKIN:** **Mr. Childs asked me**
20 **about --**

21 **COMMISSIONER CLARK:** **I'm just kidding.**
22 **There's no question pending. There's nothing.**

23 **WITNESS LARKIN:** **There is one in my mind,**
24 **though.**

25 **COMMISSIONER CLARK:** **You can get with**

1 Mr. Childs.

2 WITNESS LASKIN: There is one that is not
3 answered in my mind and in my heart.

4 COMMISSIONER CLARK: All right.

5 MR. SHERVE: I thought I saw Commissioner
6 Garcia wanting to ask him what he was thinking about.

7 COMMISSIONER CLARK: No. I just think
8 that's impermissible. (Laughter)

9 There's no redirect. Are there exhibits
10 that we need to move into the record?

11 MR. BOWEN: Commissioner Clark, we would move
12 the admission of Exhibit 10.

13 COMMISSIONER CLARK: All right. Without
14 objection, that's entered into the record.

15 (Exhibit 10 received in evidence.)

16 COMMISSIONER CLARK: Mr. Childs your 11?

17 MR. CHILDS: I'll move 11. It's simply for
18 a reference point. It's not additional to what Mr.
19 Schuster's --

20 COMMISSIONER CLARK: Without objection,
21 Exhibit 11.

22 (Exhibit 11 received in evidence.)

23 MR. CHILDS: And I ask again, if I haven't
24 already, that you take administrative notice of Order
25 24734.

1 **COMMISSIONER CLARK:** I did that, Mr. Childs.

2 **MR. CHILDS:** Sorry.

3 **COMMISSIONER CLARK:** Is that the one you
4 passed out?

5 **MR. CHILDS:** That's the order, and Rule
6 25-17.082, your rule.

7 **COMMISSIONER CLARK:** We'll take official
8 notice of it.

9 Anything further for this witness?

10 **Thank you, Mr. Larkin. I hope you can head**
11 **home tonight.**

12 **WITNESS LARKIN:** No.

13 **COMMISSIONER CLARK:** I'm sorry. Oh, great,
14 it's not because we went late, then?

15 **WITNESS LARKIN:** Oh, no. I wasn't planning
16 on going -- the plane leaves at 7:00 anyway.

17 **COMMISSIONER CLARK:** Okay. Well reconvene
18 tomorrow at 8:30, and we'll take Mr. Stallcup.

19 All right. I hope we can finish tomorrow
20 morning.

21 **MR. CHILDS:** Can we leave our materials here
22 overnight?

23 **COMMISSIONER CLARK:** You know, I really
24 don't know the answer to that. I don't think they
25 will be disturbed. I don't know what the cleaning

1 crew does. Have we left things here before?

2 MR. HENSING: Yes, I think so.

3 COMMISSIONER CLARK: All right. You can
4 leave them.

5 All right. Thank you very much. We'll
6 reconvene at 8:30 tomorrow morning and we will begin
7 with Mr. Stalloup.

8 (Thereupon, the hearing adjourned at
9 6:10 p.m. to reconvene at 8:30 a.m., Friday, October 31,
10 1997 at the same location.)

11 - - - - -

12 (Transcript continues in sequence in Volume
13 3.)

14

15

16

17

18

19

20

21

22

23

24

25