

1
2 BEFORE THE
3 FLORIDA PUBLIC SERVICE COMMISSION

4 In re: Petitioner for approval of :DOCKET NO. SERS04-BQ
5 early termination amendment to :
6 negotiated qualifying facility :
7 contract with Orlando Cogen :
8 Limited, Ltd., by Florida Power :
9 Corporation :
10

11 SECOND DAY

12 VOLUME IV

13 PAGE 467 through 563

14 PROCEEDINGS:

HEARING

15 BEFORE:

COMMISSIONER SUSAN F. CLARK
COMMISSIONER JOE GARCIA

16 DATE:

Friday, October 31, 1997

17 TIME:

Commenced at 8:30 a.m.
Concluded at 1:15 p.m.

18 PLACE:

Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

19 REPORTED BY:

NANCY S. METZKE, RPR, CCR
Court Reporter
Post Office Box 3093
Tallahassee, Florida 32315-3093

20 APPEARANCES:

(As heretofore noted.)

21 BUREAU OF REPORTING

22 RECEIVED 11-13-97

DOCUMENT NUMBER-DATE
1166-1 NOV 13 1997

FLORIDA REPORTERS' REPORTING

INDEX

	PAGE NO.
1	
2	
3	LEE G. SCHUSTER
4	Examination by Mr. McGee 470
5	Prefiled Rebuttal Testimony Inserted 472
6	Prefiled Supplemental Rebuttal Testimony Inserted 499
7	Examination by Mr. Howe 517
8	Examination by Mr. Keating 538
9	Examination by Mr. McGee 555
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

1 INDEX OF EXHIBITS
2

		ID	EVD
3	#19 Exhibits LGS-8 through LGS-16	497	556
4	#20 Exhibits LGS-17 through LGS-23	512	556
5			
6	#21 Florida Power Corporation's historical earnings surveillance report data and historical treasury bond rates	544	556
7			
8			
9	#22 (Late-filed) Terms of Florida Power Corporation's variable rate bonds for 1993	550	
10			
11	#23 Proffered. FERC review of 10-year site plans dated 12/26/96	558	
12			
13	#24 Proffered. Staff recommendation dated 12/26/96	558	
14			
15	#25 Florida Power Corporation's petition for approval of QF contracts	560	560
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

P R O C E E D I N G S

1 (Transcript continues in sequence from Volume
2
3 III)

4 **COMMISSIONER CLARK:** Let's go back on the record,
5 and we are on the rebuttal testimony of Mr. Schuster. And
6 Commissioner Garcia, I had already made a ruling to allow
7 the supplemental rebuttal testimony, all right?

8 **COMMISSIONER GARCIA:** Okay.

9 Whereupon,

10 **LEE G. SCHUSTER**

11 was called as a witness and, having been previously sworn,
12 testified as follows:

13 **EXAMINATION**

14 **BY MR. McGEE:**

15 Q Mr. Schuster, do you have before you two
16 documents, one entitled "Rebuttal Testimony and Exhibits of
17 Lee G. Schuster," and the other entitled "Supplemental
18 Rebuttal Testimony and Exhibits of Lee G. Schuster?"

19 A Yes, I do.

20 Q Were those prepared by you as your rebuttal
21 testimony for this proceeding today?

22 A Yes.

23 Q And starting with your rebuttal testimony, do you
24 have any corrections that you would like to make to that?

25 A Yes, I do. I have one correction. Based on

1 Mr. Stallcup's deposition and the exhibits that he provided
2 after his deposition relating to the calculation of
3 standard deviations and variances, I would like to delete a
4 portion of my testimony that took issue with those
5 calculations. That begins on page 12, line 11 of my
6 testimony and extends through page 14, line 19.

7 MR. MCGEE: Madam chairman, we will withdraw that
8 portion of his testimony.

9 COMMISSIONER CLARK: All right. We'll strike
10 through it.

11 MR. HOWE: I'm sorry, could I hear where that
12 ended?

13 WITNESS SCHUSTER: It ends on page 14, line 19.

14 MR. HOWE: Thank you.

15 BY MR. MCGEE:

16 Q With that correction, Mr. Schuster, if you were
17 asked the questions contained in your prepared rebuttal
18 testimony, would your answers be the same today?

19 A Yes.

20 MR. MCGEE: Madam Chairman, we would ask that
21 that testimony be inserted into the record as though read.

22 COMMISSIONER CLARK: The prefilled rebuttal
23 testimony of Mr. Lee Schuster will be inserted in the
24 record as though read with those changes.

25

FLORIDA POWER CORPORATION**DOCKET NO. 961184-EQ****REBUTTAL TESTIMONY OF
LEE G. SCHUSTER**

1 **Q. Please state your name and business address.**

2 **A. My name is Lee G. Schuster. My business address is Post Office Box**
3 **14042, St. Petersburg, Florida, 33733.**

4

5 **Q. Have you previously submitted testimony in this proceeding?**

6 **A. Yes. My direct testimony on behalf of Florida Power Corporation**
7 **("Florida Power") was filed on August 27, 1997.**

8

9 **Q. What is the purpose of your rebuttal testimony?**

10 **A. The purpose of my rebuttal testimony is to respond to the direct**
11 **testimonies of Mr. Paul Stallcup on behalf of the Commission Staff and**
12 **Mr. Hugh Larkin on behalf of the Office of Public Counsel. With**
13 **respect to Mr. Stallcup's testimony, I will address four subject areas:**
14 **(1) risk and cost/benefit analysis, (2) natural gas price forecast**
15 **assumptions, (3) power plant construction forecast assumptions, and**
16 **(4) the risk adjusted discount rate methodology.**

With respect to Mr. Larkin, I will discuss and respond to each of the five subject areas addressed by his testimony: (1) risk and cost/benefit analysis, (2) the appropriate discount rate, (3) intergenerational fairness, (4) the issue of stranded costs, and (5) his "alternative proposal."

I. REBUTTAL TO STAFF'S DIRECT TESTIMONY

- Q. Please summarize your overall conclusions regarding Mr. Stallicup's testimony.
- A. With the exception of several secondary issues, I am in general agreement with Mr. Stallicup's risk analysis, in particular, the use of a reputable third party forecast to test the reasonableness of forecast assumptions and the use alternative forecasts to conduct a risk sensitivity analysis. However, in implementing this methodology, a material arithmetic error was made. When this error is corrected, Mr. Stallicup's risk analysis offers strong support for approval of the OCL contract buyout. His corrected base case yields a net present value (NPV) savings of \$100.6 million (compared to \$34.6 million from the analysis in my direct testimony), with sensitivity results of \$89.3 million for his pessimistic case and \$108.5 million for his optimistic case. In other words, the corrected results of Mr. Stallicup's own analysis demonstrate that the proposed OCL contract buyout offers very substantial savings to customers with virtually no risk that changes in assumed conditions could eliminate those savings.

1 Moreover, when the secondary issues of disagreement that I discuss
2 below are properly treated in the analysis, the expected savings from
3 the buyout become even greater.

4

5 **1. Risk and Cost/Benefit Analysis**

6

7 Q. What is your primary concern with respect to Mr. Stallcup's testimony
8 and his risk and cost/benefit analysis of the proposed OCL contract
9 buyout?

10 A. Mr. Stallcup's analysis contains a material arithmetic error in the
11 treatment of his risk adjusted discount rate which invalidates the results
12 of his study cases. In Mr. Stallcup's discussion of the derivation of a
13 risk adjusted discount rate at pages 8-9 of his testimony, he correctly
14 indicates that it consists of the sum of a risk free discount rate and a
15 risk premium. However, in calculating the actual risk adjusted discount
16 rates used in his analysis of the OCL buyout (Stallcup Exhibit PWS-4),
17 the risk premium is mistakenly subtracted from the risk free rate. My
18 rebuttal Exhibit LGS-8 shows both Mr. Stallcup's calculation and a
19 corrected calculation in which the risk adjusted discount rate is
20 computed as the sum of the risk free rate and a risk premium.

21

22 Q. If the correct risk adjusted discount rate had been used in Mr.
23 Stallcup's analysis, what would the results have been?

24 A. The results of a corrected analysis are summarized in my rebuttal
25 Exhibit LGS-9. These cases are based entirely on Mr. Stallcup's

assumptions and methodology as described in his testimony, including the use of a natural gas price forecast prepared by Data Resources, Inc. (DRI). The only difference between the results presented in Mr. Stallcup's Exhibit PWS-5 and my Exhibit LGS-9 is the correction of the error described above and as shown in Exhibit LGS-8. Mr. Stallcup's methodology yields a NPV savings of \$100.6 million for the DRI base case (detailed in rebuttal Exhibit LGS-10), NPV savings of \$89.3 million for the DRI pessimistic case (detailed in rebuttal Exhibit LGS-11), and NPV savings of \$108.5 million for the DRI optimistic case (detailed in rebuttal Exhibit LGS-12). After weighting the sensitivity cases, they produce an expected NPV of savings of \$99.2 million, which suggests that there is a negligible probability that the NPV savings could be negative.

Q. What is your response to Mr. Stallcup's alternative risk analysis based on a hybrid 10.9% discount rate as described on page 16 of his testimony?

A. This risk analysis is based on the average of Florida Power's discount rate of 8.81% and the 13% discount rate suggested by Mr. Larkin. Mr. Stallcup offers no justification for using a 10.9% discount rate whatsoever, nor does he endorse its use. Clearly, any number of "mixed bag" discount rates could be created in a similar manner, without ever addressing the underlying question of whether the rate is appropriate. For example, Mr. Larkin's range of 13-18% could be averaged to arrive at 15.5%, or one could average the 15.5% midpoint

1 of Mr. Larkin's range with Florida Power's 8.81% discount rate to
2 arrive at 12.15%, etc. Rather than respond to a calculation by Mr.
3 Stallcup using Mr. Larkin's data, I will address Mr. Larkin's testimony
4 regarding discount rates directly in the next section of my testimony.

5

6 Q. Have you performed a cost/benefit analysis using Mr. Stallcup's risk
7 adjusted discount rate in combination with Florida Power's forecast
8 assumptions?

9 A. Yes. Mr. Stallcup states that he believes that his analysis is more
10 comprehensive than that presented in the testimony of Florida Power
11 or Public Counsel witness Larkin. While I believe that it is fair to test
12 the benefits of the proposed OCL contract buyout using an alternative
13 fuel price forecast such as DRI's, I do not believe that it is appropriate
14 to dispense entirely with Florida Power's fuel forecast as Mr. Stallcup
15 has done. Mr. Stallcup argues that it is appropriate to use the DRI
16 forecast instead of Florida Power's forecast. As discussed below, I
17 take issue with this position and have concerns regarding the data he
18 uses to support his arguments. I also take issue below with the
19 particular DRI index selected by Mr. Stallcup to escalate the cost of the
20 combined cycle unit used in the analysis to replace the last 10 years of
21 the OCL contract. As a result, I have prepared a cost/benefit analysis
22 which restates Mr. Stallcup's results using Florida Power's forecast
23 assumptions.

- 1 Q. What is the result of Mr. Stallicup's adjusted risk premium analysis
2 using Florida Power's forecast assumptions in place of the DRI forecast
3 data?
- 4 A. The result of this cost/benefit analysis is summarized in my rebuttal
5 Exhibit LGG-1B. This case is based on Mr. Stallicup's risk premium
6 methodology as described in his testimony. In addition to correcting
7 the discount rate error described above, only two changes have been
8 made to the assumptions used in Mr. Stallicup's base case presented in
9 his Exhibit PWB-5: (1) the use of Florida Power's fuel forecast in place
10 of the DRI fuel forecast, and (2) the use of DRI's *Fixed Investment,*
11 *Durable Equipment* price index rather than the DRI *Public Utility*
12 *Structures* price index. Both of these changes are discussed below.
13 The results of this analysis indicate a NPV customer benefit of \$119.4
14 million.

15

16 2. Natural Gas Price Forecast Assumptions

17

- 18 Q. On page 4 of his testimony, Mr. Stallicup states that Florida Power's
19 natural gas price forecast may substantially underestimate the future
20 market price of natural gas. Do you agree with this conclusion?
- 21 A. No, I do not, and in certain respects, neither does the data offered by
22 Mr. Stallicup in support his conclusion. He bases his conclusion on two
23 comparisons. First, he compares the Florida Power price forecast to
24 the gas price forecasts submitted by other Florida utilities in their 1997

1 Ten Year Site Plans. Second, he compares the Florida Power forecast
2 to the DRI base case natural gas price forecast.

3

4 Q. How does Florida Power's natural gas price forecast to the forecasts
5 submitted by other Florida utilities in their 1997 Ten Year Site Plans?

6 A. The Ten Year Site Plan gas price forecasts that Mr. Stallcup refers to
7 and shows in his Exhibit PWS-1 only cover the period 1997-2006. In
8 2006, the final year of these forecasts, the majority of the forecasts,
9 including Florida Power's, indicate a natural gas price between
10 \$3.00/MMBtu and \$4.00/MMBtu. In forecasting natural gas prices ten
11 years in the future, this \$1 range is not unreasonable, especially when
12 one recognizes that this same group of forecasts start out with a price
13 range of about \$2 (from slightly over \$2.00/MMBtu to approximately
14 \$4.00/MMBtu) in 1997, the first year of the forecast.

15

16 Q. What is the source for the gas price forecasts attributed by Mr. Stallcup
17 to the utilities' 1997 Ten Year Site Plans for the interval 2007-2023?

18 A. Mr. Stallcup has presented forecast data through 2023 in his Exhibit
19 PWS-1 and cited as his source the 1997 Ten Year Site Plans for each
20 of the respective utilities, even though the plans contain data only
21 through 2006. My direct testimony addressed the issue of Staff
22 creating long term forecasts based on shorter term forecasts prepared
23 by a utility and attributing the entire forecast to the utility. If this
24 practice has been continued in Mr. Stallcup's testimony, there can be
25 no insight gained from comparing these utility gas price forecasts

1 beyond the year 2006, since that portion of the forecast was not
2 prepared, reviewed or issued by the respective utilities.

3

4 Q. What bearing do historical price patterns for natural gas have on Mr.
5 Stallcup's conclusions and the validity of the Florida Power natural gas
6 price forecast?

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

A. Historical natural gas prices for the period 1973-97 are summarized in my rebuttal Exhibits LGB-14 and LGB-15, which are based on data from the Energy Information Administration's *Monthly Energy Review* for August 1997. The movements in natural gas prices over the last 25 years may be divided into two periods that are relevant to forecasting prices today. First, from the early 1970's until 1985 there was a ten-fold increase in the price of natural gas, from approximately \$0.30/MMBtu to well over \$3.00/MMBtu. During this period users experienced repeated price shocks and forecasters regularly revised their price forecasts upward. During 1985-87 the price fell to approximately \$2.25/MMBtu and has remained essentially at this level since that time. During recent years, the persistence of stable, relatively low natural gas prices has been an actively debated and much publicized topic. Most recently, during 1996-97 there has been increased volatility in prices, with brief price spikes as high as \$4.00/MMBtu, while returning to the neighborhood of \$2.25/MMBtu.

Given this historical context, it is not at all surprising that different forecasters have different views regarding the future of natural gas prices. I will agree with Mr. Stallcup that DRI and Florida Power have

1 different natural gas price forecasts, but it is no more valid to reject
2 Florida Power's forecast because it "may substantially understate the
3 future market price of natural gas" than to reject DRI's forecast
4 because it may substantially overstate the price. As history has
5 shown, only actual prices in the future will reveal which forecast is
6 more accurate. For example, if a forecaster in 1986 had predicted that
7 natural gas prices would fall to approximately \$2.25/MMBtu and remain
8 near that level for a decade, there is little doubt that such a forecast
9 would receive the same type of skepticism that Mr. Stallcup has
10 directed at Florida Power's price forecast. Yet, that forecast would
11 have proven to be absolutely correct and other forecasts of much
12 higher natural gas prices based on historical trends would have proven
13 to be highly misleading.

14

15 3. Power Plant Construction Forecast Assumptions

16

17 Q. Mr. Stallcup maintains that DRI's *Fixed Investment, Durable Equipment*
18 price index used by Florida Power to project combined cycle power
19 plant construction costs during the buyout period is not correct, and
20 that the DRI *Public Utility Structures* price index should be used
21 instead. What is your response to his contention?

22

23 A. Simply put, a combined cycle power plant is much more like a large
24 machine than it is like a structure or building. I have provided data for
25 the cost breakdown of a typical combined cycle power plant in rebuttal
Exhibit LGS-16 which demonstrates that approximately 90% of the

cost is related to equipment and only 10% is related to structures. In reality, the components of a combined cycle power plant relate to both the cost indices for equipment and for structures. A more refined escalation method would weight these two indices in proportion to the contribution of each index to the cost of the various components of a combined cycle power plant. However, in the case of a combined cycle unit, where the cost is determined predominately by one index, it would be a reasonable approximation to use the dominate index to project construction costs.

10

11 Q. How do the definitions of the DRI cost indices for equipment and for
12 structures relate to the components of a combined cycle power plant?

13

14 A. One of the three largest components in the equipment cost index is
15 electrical machinery expenditures, which includes many of the main
16 components of combined cycle power plants, such as fabricated
17 metals, engines, turbines and electrical equipment. In a combined cycle
18 power plant, the turbines are the single largest cost component, and
19 most of the balance of the equipment and materials used to construct
20 the plant are included in the equipment index. By contrast, the index
21 for public utility structures includes such items as railroad tracks,
22 stations, telephone, electric and gas transmission and distribution
23 systems, and oil and gas well drilling and exploration expenditures. As
24 a result, the public utility structures index includes many items that
bear no relation to power plant construction.

- 1 Q. How can the relative importance of these two cost indices to the
2 escalation of power plant construction costs be determined?
- 3 A. The proper way to determine an appropriate weighting is to use a cost
4 breakdown for a power plant and identify those costs which relate to
5 each index. This data has been provided in my rebuttal Exhibit LGS-
6 16, which summarizes the construction cost for a typical 250
7 megawatt combined cycle power plant. This cost breakdown
8 demonstrates that only approximately 10% of the total cost is related
9 to the structures index. The largest cost component is mechanical
10 equipment which includes the turbines, the primary component of a
11 power plant of this type. The remaining cost categories include the
12 balance of equipment and materials required to construct this type of
13 power plant.
- 14
- 15 Q. What can be concluded from this analysis regarding the proper cost
16 index to use to forecast the construction cost for combined cycle
17 power plants?
- 18 A. The construction costs for a combined cycle power plant are
19 predominately related to the equipment index. Due to the relatively
20 minor contribution of the structures index it seems reasonable to
21 estimate future construction costs using only the equipment index as
22 I have done in my NPV analysis. I believe that Mr. Stalcup is incorrect
23 to select the structures index in preference to the equipment index.

1 Q. What is the effect of using the Public Utility Structures Index in Mr.
2 Stallcup's analysis instead of the Fixed Investment, Durable Equipment
3 price index used by Florida Power?

4 A. As Mr. Stallcup points out on page 7 of his testimony, the effect of
5 using the Public Utility Structures Index in place of the Fixed
6 Investment, Durable Equipment Index is to reduce the NPV of the
7 proposed OCL contract buyout by approximately \$4.7 million (from
8 \$32.7 million to \$28.0 million in Mr. Stallcup's example). As discussed
9 above, I believe this is an unjustified and inappropriate reduction.

10
11 Q. ~~Do you have any other concerns regarding Mr. Stallcup's risk adjusted
12 discount rate methodology?~~

13 A. Yes, I do. Mr. Stallcup claims to be measuring volatility or risk by
14 means of computing standard deviations, as described on page 12 of
15 his testimony. However, the variances upon which he calculates the
16 standard deviations are simply the differences between his DRI base
17 case and his DRI expected value case. As a result, all Mr. Stallcup is
18 actually measuring is the symmetry, or lack thereof, of the DRI
19 optimistic and pessimistic cases with respect to the DRI base case. By
20 symmetry I mean the degree to which the optimistic and pessimistic
21 cases deviate from the base case. If they deviate equally, for example
22 the optimistic case being 20% higher than the base and the pessimistic
23 being 20% lower than the base, the cases are symmetric. However,
24
25

1 if the optimistic case were 25% higher than the base and the
2 pessimistic 15% lower than the base the cases would be asymmetric.
3 The key point is that if the cases are symmetric, the expected value will
4 be equal to the base case and the variance computed by Mr. Stallcup
5 will be zero. Conversely, the expected value will deviate from the base
6 case and result in a non-zero variance if the cases are not symmetric.

7
8 Q. What is really meant by the risk of the forecast and how can it be
9 measured?

10 A. In essence, risk may be defined as the probability that the actual value
11 for the variable being forecasted is different from the predicted base
12 case value. The degree to which the optimistic and pessimistic
13 forecasts diverge from the base case offers a way to measure this risk.
14 For example, if the three forecasts diverge only slightly and remain very
15 close together, it can be concluded that there is a high probability that
16 the variable being forecasted will have an actual value close to the base
17 case and therefore less risk. Conversely, if the three forecasts diverge
18 widely, there is much more uncertainty regarding the actual value of
19 the variable being forecasted and therefore more risk.

20
21 Q. Can you provide an example as to why Mr. Stallcup's methodology fails
22 to measure this forecast risk in an acceptable manner?

23 A. Yes. This can be illustrated by comparing the risk of the following two
24 forecasts. The first forecast is symmetric, with the optimistic case being
25 40% higher than the base case and the pessimistic case being

1 40% lower than the base case. The second forecast is not symmetric,
2 with the optimistic case being 3% higher than the base and the
3 pessimistic case being 1% lower than the base case. Common sense
4 suggests that the first forecast has far more risk than the second
5 forecast. However, Mr. Staloup's methodology would reach the
6 opposite conclusion by determining that the first forecast has zero risk
7 because it is symmetric and the second forecast has a level of risk that
8 is a function of the degree to which it is not symmetric.

9

10 Q. What is your overall opinion of Mr. Staloup's risk adjusted discount
11 rate methodology?

12 A. The risk adjusted discount rate methodology works reasonably well
13 when the risk premium is determined on an *a priori* basis. This is the
14 case for the capacity payments in the contract and replacement cases
15 as well as for the contract buyout cost. However, the risk premiums
16 computed for the projected energy costs in the contract and
17 replacement case are suspect for the reasons discussed above. There
18 seems to be little, if any, justification for equating the degree of
19 symmetry among the base, high and low forecast cases with risk.

20

21 II. REBUTTAL TO PUBLIC COUNSEL'S DIRECT TESTIMONY

22

23 Q. Please summarize your overall conclusions with regard to Mr. Larkin's
24 testimony.

1 A. Mr. Larkin's discussion deals only with those selected elements of the
2 OCL buyout transaction that support his arguments. As I discuss
3 below, each of Mr. Larkin's arguments are either based on erroneous
4 assumptions, or his arguments are incomplete or misleading. In
5 summary, Mr. Larkin's conclusions and his purported alternative
6 proposal for the OCL contract buyout should be rejected.

7

8

1. Cost/Benefit Analysis

9

10 Q. On page 2 of his testimony, Mr. Larkin states that the only amount in
11 Florida Power's net present value calculation that can be determined to
12 be fixed, known and measurable is the amount that ratepayers will be
13 charged for the buyout. Do you agree with his statement?

14 A. No. The majority of the savings from the OCL contract buyout will
15 result from avoiding the known capacity payments required by the
16 existing contract during the period 2014-2023. If the existing contract
17 remains in place, customers will be required to pay \$458,990,000 in
18 capacity payments during this period with virtually the same certainty
19 that Mr. Larkin ascribes to the cost of the OCL contract buyout. Mr.
20 Stallcup, at page 8 of his testimony, agrees that the capacity costs
21 under the contract are known with certainty and treats them as such
22 in his risk analysis. Thus, Mr. Larkin begins his risk analysis with a
23 fundamentally flawed premise.

1 Q. What is your response to Mr. Larkin's claim at page 3 of his testimony
2 that the risk that the ratepayer takes is extremely high because the
3 savings from the transaction are based in part on future projections.

4 A. Mr. Larkin attacks the projections and underlying assumptions used in
5 Florida Power's projection of customer savings exclusively on the basis
6 that they are, of necessity, projections and assumptions that cannot be
7 determined to be fixed, known and measurable. Based solely on this
8 observation, he concludes that Florida Power's NPV calculation is
9 "extremely speculative" and that "the risk ratepayer takes is extremely
10 high". In doing so, he ignores the fact that this is necessarily the
11 nature of most, if not all, proposals which offer future savings to
12 customers. Often, none of the components of projected savings and
13 costs are fixed, but must be estimated based on reasonable
14 assumptions. Mr. Larkin's testimony classifies projected costs and
15 benefits into two risk categories. Projected costs and benefits which
16 are fixed, known and measurable have zero risk; all other projections
17 are, according to Mr. Larkin, subject to extreme risk. Mr. Larkin's
18 conclusions based on this simplistic risk analysis lack any credible
19 analytical basis whatsoever and should be dismissed.

20
21 **2. Discount Rate**

22
23 Q. What is wrong with Mr. Larkin's statement that the use of an 8.67%
24 discount rate to calculate the net present value benefit to ratepayers is
25 inappropriate and not reasonable?

1 A. Mr. Larkin completely misses the point when he states that the use of
2 Florida Power's cost of capital as a discount rate is inappropriate simply
3 because it is Florida Power's cost of capital. As is normally the case
4 in this kind of present value analysis, the utility's cost of capital is used
5 as a proxy for the customers' discount rate. This discount rate concept
6 has been used by Florida Power in numerous dockets and filings over
7 many years and has been accepted by the Commission, Staff and other
8 parties to these dockets. As discussed below, the theoretical
9 arguments regarding the appropriate value for a customer discount rate
10 span the range from 2-3% up to 18%. Given this wide range, a proxy
11 value of 8-9% is not at all unreasonable.

12
13 Q. What is wrong with Mr. Larkin's statement on page 6 that it would be
14 unlikely that any sophisticated investor would accept an 8.67% rate of
15 return on his investment?

16 A. Mr. Larkin appears to have erroneously assumed that because Florida
17 Power used an 8.67% discount rate to compute the NPV of customer
18 savings, that the OCL contract buyout provides an effective return of
19 8.67%. This is an incorrect conclusion, and consequently Mr. Larkin's
20 arguments regarding the acceptability of an 8.67% return on
21 investment are irrelevant. Florida Power calculated a NPV benefit of
22 \$32.5 million using an 8.67% discount rate and subsequently a NPV
23 benefit of \$34.6 million using an 8.81% discount rate (based on
24 updated assumptions included in late-filed Exhibit No. 8 to my
25 deposition by Staff). This calculation clearly demonstrates that the
26

1 effective return to customers is higher than 8.81% because the
2 resulting NPV is positive.

3 The effective rate of return for the proposal is determined by
4 solving for the discount rate which makes the NPV equal to zero. This
5 computation (requested by Staff as less-filled Exhibit No. 1 to my
6 deposition) results in a discount rate of 12.19%. The 12.19% rate is
7 the effective (after-tax) return of the cash flow stream when this
8 proposal is viewed as an investment. In other words, if the buyout
9 payments of \$2.8 million per year during the period 1997-2001 were
10 deposited in an investment account at a 12.19% rate of return, the
11 balance of this investment would grow such that, beginning in 2014
12 amounts equal to the projected annual customer savings could begin to
13 be withdrawn from this investment account. Withdrawals could be
14 made each year in amounts equal to projected annual customer
15 savings, and when the final amount is withdrawn in 2023 the
16 investment balance would be reduced to zero.

- 17
- 18 Q. Is Mr. Larkin's proposed discount rate of 12-18% appropriate for this
19 type of analysis?
- 20 A. No. A discount rate based on the interest rate for an unsecured loan
21 or credit card is only one of several concepts included in the theory of
22 customer discount rates. Mr. Larkin makes no mention of the equally
23 valid argument that customers may have no credit card debts
24 whatsoever, but instead make regular deposits to a passbook savings
25 account earning 3-4% (before taxes). Alternatively, other customers

1 may make investments in bonds at an 8% yield. To illustrate the
2 complications of the customer discount rate argument, there are also
3 customers who have a credit card debt balance and are nevertheless
4 also putting money aside in a savings account. Mr. Larkin conveniently
5 ignores these other arguments which would suggest lower customer
6 discount rates and reveal the complexity of the issue he raises. It is for
7 precisely these reasons that a reasonable, well understood proxy for the
8 customer discount rate has been established by convention and
9 consistently used to compute the net present value of customer savings
10 in analyses such as the OCL contract buyout analysis.

11

- 12 Q. What else has Mr. Larkin overlooked in his discount rate discussion?
- 13 A. In his discussion of acceptable investment returns, Mr. Larkin makes no
14 distinction between a pre-tax return on investment and an after-tax
15 return on investment. For a typical customer, the 12.19% return
16 represented by the OCL contract buyout corresponds to an after-tax
17 rate of return. In order for an investment opportunity to provide a
18 comparable return it would need to offer a higher pre-tax return. For
19 example, a marginal federal income tax rate of 15% to 28% would
20 imply that the investment must provide a pre-tax return of 14.34% to
21 16.93% in order to be comparable to the OCL buyout. As a result, I
22 would challenge Mr. Larkin's assertion that no sophisticated investor
23 would be likely to accept the return inherent in the proposed OCL
24 contract buyout when viewed as an investment.

- 1 Q. Do you agree with Mr. Larkin that the appropriate discount rate must
2 reflect the nature of a high risk investment?
3 A. No. Mr. Larkin's characterization that substantial risk is related to
4 Florida Power's proposal is unsupported speculation. He has provided
5 no basis for this conclusion which justifies his arguments for a higher
6 discount rate.

7

8 3. Intergenerational Fairness

9

- 10 Q. Do you agree with Mr. Larkin's assertion that there are intergenerational
11 inequities associated with the OCL contract buyout?
12 A. No, I do not. As I pointed out in my direct testimony, the buyout does
13 not create intergenerational inequity, but rather helps to counterbalance
14 an existing intergenerational inequity inherent in the structure of the
15 original OCL contract. Compared to the costs of the unit avoided by
16 the OCL contract, current customers are still better off under the
17 contract even with the buyout cost through 2002. To the extent that
18 intergenerational fairness is an issue in this proceeding, it weighs
19 strongly in favor of -- not against -- approval of the OCL buyout.
- 20
- 21 Q. Do you agree with Mr. Larkin's argument on page 8 that the low
22 capacity payments made by customers during the early years of the
23 OCL contract is not an intergenerational inequity, but simply
24 compensation for a higher risk of non-performance by OCL?

1 A. Absolutely not. Mr. Larkin is correct only to the extent that one of the
2 reasons for adopting the value of deferral methodology, which "back-
3 end loaded" the capacity payment stream, was to ensure QF
4 performance for the duration of the contract. The point, however, is
5 that to achieve this important performance-ensuring objective, of
6 necessity, an Intergenerational Inequity was created compared to
7 traditional revenue requirements ratemaking. To suggest, as Mr. Larkin
8 does, that this shifting of substantial costs from current to future
9 customers was done to compensate current customers for a higher risk
10 of non-performance is absurd. By heavily back-end loading the QF's
11 capacity payments, the likelihood that the QF will perform throughout
12 the term of the contract is greatly enhanced. Thus, the risk of non-
13 performance is reduced in each and every year of the contract, even
14 though the cost of this risk reduction is borne by future customers to
15 the benefit of current customers.

16 Moreover, viewed in terms of circumstances as we know them
17 today, non-performance by OCL can no longer be considered a "risk."
18 Indeed, the entire premise of the OCL contract buyout is that, due to
19 changed economic circumstances, there is value in paying OCL not to
20 perform during the last ten years of the contract. Given this
21 demonstrated value of non-performance under the contract, it makes
22 no sense to perpetuate the notion that current customers should be
23 compensated, or future customers should pay, for a risk that has now
24 become a benefit.

1 4. Stranded Costs

2

3 Q. Is there any merit in Mr. Larkin's discussion of the effect of this
4 transaction on the issue of stranded cost?

5 A. No. My direct testimony made it clear that the issue of potential
6 strandable costs need not be addressed as part of the Commission's
7 decision regarding the OCL contract buyout. Mr. Larkin makes the error
8 of assuming that, to the extent that the OCL buyout reduces potential
9 strandable costs, it somehow precludes a process of netting stranded
10 costs and benefits in the future. Nothing could be further from the
11 truth. In the context of stranded costs, the OCL buyout constitutes a
12 mitigation of potential future strandable costs. Such mitigation efforts
13 will serve only to reduce the level of stranded costs which may exist in
14 the future and in no way conflicts with the offsetting of stranded costs
15 and benefits discussed by Mr. Larkin. Mr. Larkin seems to believe that
16 a cost reduction effort on the part of Florida Power is somehow one-
17 sided and inequitable unless it is accompanied by some final accounting
18 of stranded costs and benefits. Mr. Larkin has digressed into a
19 speculative discussion related to the future restructuring of the electric
20 industry which has no bearing on the proposed OCL contract buyout.

1 **5. Larkin's "Alternative Proposal"**

- 2
- 3 Q. What is wrong with Mr. Larkin's proposal that Florida Power make the
4 buyout payments and receive the benefits of the buyout transaction
5 rather than Florida Power's customers?
- 6 A. In essence, Mr. Larkin is proposing that Florida Power convert an
7 opportunity to provide at least \$472 million in savings to its customers
8 into an transaction which would benefit only Florida Power's
9 shareholders. If Florida Power had made this proposal itself it would
10 undoubtedly have been sharply criticized, and properly so. The fact
11 that Mr. Larkin has advanced such a dubious proposal does not change
12 its essential nature.
- 13
- 14 Q. Is Mr. Larkin correct in assuming that Florida Power could undertake
15 the OCL buyout transaction in place of the customers, with the
16 transaction remaining unchanged?
- 17 A. No. Mr. Larkin makes the simplistic and erroneous assumption that the
18 transaction would be unchanged if the Company were to "step into the
19 shoes of the customer" and engage in the buyout transaction rather
20 than Florida Power's customers. This is simply not the case. The
21 Company's proposal will deliver savings directly to customers in the
22 form of lower electric rates. If Florida Power were to receive these
23 same benefits in the form of revenues from customers, this revenue
24 would represent taxable income to the Company. In order for Florida
25 Power to earn its authorized rate of return as proposed by Mr. Larkin,

1 it would be necessary to collect revenues corresponding to Florida
2 Power's pre-tax rate of return. Mr. Larkin gives no indication that he
3 recognizes the implications of his own proposal, and he has not
4 presented any form of analysis to substantiate his claims.

5

6 Q. Under his alternate proposal, Mr. Larkin claims that the Company will
7 receive a rate of return equal to its current authorized rate of return and
8 at the same time be able to reduce its future capacity and energy costs
9 and achieve its stated goal of offering competitive prices to its
10 customers. How is this possible?

11 A. It is not. In touting his proposal, Mr. Larkin double counts the resulting
12 benefits. Obviously, if the Company receives the future benefits of the
13 buyout in the form of higher revenues from customers in compensation
14 for making the near-term buyout payments, there would, in all
15 probability, be no rate reduction for customers.

16

17 Q. What is your reaction to Mr. Larkin's statement that Florida Power will
18 suffer no harm if the Commission were to deny its petition?

19 A. Mr. Larkin's statement is irrelevant to the subject at hand. It is Florida
20 Power's customers, not the Florida Power, who will be directly harmed
21 if the Company's petition is rejected and customer's are denied the
22 benefits which would result from the OCL contract buyout. Mr. Larkin
23 is simply rehashing the argument previously made by Public Counsel in
24 its motion to dismiss Florida Power's request for a hearing on its
25 petition, claiming Florida Power lacked standing to advocate actions it

1 believed to be in the best interests of its customers. The Commission
2 rejected that argument before and it has gotten no better with age.

3

4 Q. Does this conclude your rebuttal testimony?

5 A. Yes.

1 MR. McGEE: And attached to that testimony are
2 Exhibits LGS-8 through LGS-16. We would ask those be
3 marked for identification.

4 COMMISSIONER CLARK: They will be marked as
5 Exhibit 19.

6 BY MR. McGEE:

7 Q Mr. Schuster, do you have any corrections to make
8 to your supplemental rebuttal testimony?

9 A Yes, I do. I would like to make three
10 corrections of a typographical nature. On page, line 1,
11 the very last word should be spelled --

12 COMMISSIONER GARCIA: This is not your
13 supplemental rebuttal, this is just your rebuttal?

14 MR. McGEE: No, this is the supplemental.

15 COMMISSIONER GARCIA: Okay. I'm sorry.

16 WITNESS SCHUSTER: Yeah, I'm making three
17 corrections to my supplemental rebuttal.

18 COMMISSIONER GARCIA: Okay. Thank you. And they
19 are on?

20 WITNESS SCHUSTER: Page 2, line 1, the very last
21 word after the hyphen should be spelled p-e-r rather than
22 p-r-e.

23 COMMISSIONER CLARK: Say that again. Page 2?

24 WITNESS SCHUSTER: Page 2, line 1, the very last
25 word which says "re-preformed," should be "reperformed."

1 The second correction is on page 5, line 9, the
2 reference to the Stallcup deposition, page 93, should be a
3 reference to page 92.

4 And the third correction is on page 13, line 4,
5 the fourth words which says "preset" should be "present."
6 And those are all the corrections I have.

7 BY MR. McGEE:

8 Q With those corrections, if you were asked the
9 questions contained in your supplemental rebuttal
10 testimony, would your answers be the same today?

11 A Yes.

12 MR. McGEE: Madam Chairman, we ask that that
13 testimony be inserted into the testimony as though read.

14 COMMISSIONER CLARK: It will be inserted in the
15 record as though read.

16

17

18

19

20

21

22

23

24

25

FLORIDA POWER CORPORATION

DOCKET NO. 981184-EQ

SUPPLEMENTAL
REBUTTAL TESTIMONY OF
LEE G. SCHUSTER

1 Q. Please state your name and business address.

2 A. My name is Lee G. Schuster. My business address is Post Office Box
3 14042, St. Petersburg, Florida, 33733.

4

5 Q. Have you previously submitted testimony in this proceeding?

6 A. Yes. My direct testimony on behalf of Florida Power Corporation
7 ("Florida Power") was filed on August 27, 1997. My rebuttal
8 testimony was filed on October 8, 1997.

9

10 Q. What is the purpose of your supplemental rebuttal testimony?

11 A. The purpose of my testimony is to supplement the portion of my
12 rebuttal testimony addressing what I perceived at the time to be an
13 arithmetic error in the direct testimony of Mr. Paul Stallcup regarding
14 the application of his risk adjusted discount rate (RADR) methodology.
15 In my rebuttal testimony, I noted that, although Mr. Stallcup described
16 his RADR methodology as involving the calculation of a risk premium
17 which was then added to a risk free rate, he had inadvertently
18 subtracted the risk premium when performing his net present value
19 (NPV) analysis. While not expressly endorsing the use of Mr. Stallcup's

1 RADR methodology, I corrected the perceived error and re-performed
2 his analysis to show the results of his methodology when properly
3 applied. (See my rebuttal Exhibits LGS-8 and LGS-9.) However, during
4 the course of his October 10, 1997 deposition, Mr. Stallcup explained
5 that he, in fact, intended to subtract the risk premium from the risk free
6 rate in calculating his risk adjusted discount rates and cited an
7 academic reference on adjusting discount rates for "risky cash
8 outflows" as support for doing so.

9 Based on this new information, my supplemental rebuttal
10 testimony explains why (1) the controversial "risky cash outflows"
11 concept described in the cited reference is inappropriate for NPV
12 analyses used by this Commission in evaluating measures such as the
13 OCL contract buyout, and (2) even if this concept were to be used, it
14 has been grossly misapplied by Mr. Stallcup. With respect to the
15 misapplication of this concept, and consistent with my rebuttal
16 testimony, I have also re-performed Mr. Stallcup's analysis using a
17 more reasonable application of the concept.

18
19 Q. Wasn't Mr. Stallcup's calculation of risk adjusted discount rates
20 adequately explained in his testimony?

21 A. No, it was not. The portion of his analysis which is at issue is the
22 calculation of risk adjusted discount rates. Mr. Stallcup bases his
23 calculation on a present value concept described in his deposition as
24 "risky cash outflows." However, Mr. Stallcup's testimony describes
25 only a conventional risk adjusted discount rate methodology, and fails

1 to mention, much less provide support for his use of a purported risky
2 cash outflow methodology. At face value, the calculations in his
3 analysis contradict the description of the methodology contained in his
4 testimony. This is why I characterized Mr. Stalcup's calculation as
5 containing a material arithmetic error in my rebuttal testimony.

6

7 Q. What does Mr. Stalcup's academic references have to say about risky
8 cash outflows?

9 A. Mr. Stalcup cites the text *Financial Management Theory and Practice*,
10 fourth edition, by Eugene F. Brigham (in collaboration with Louis C.
11 Gopencik) as the justification for subtracting his risk premium from the
12 risk free rate. In this reference, Professor Brigham identifies a
13 conceptual problem with the normal method of developing risk adjusted
14 discount rates when dealing with risky cash outflows, as opposed to
15 cash inflows. In order to address this problem, Professor Brigham
16 suggests that the risk adjustment for a risky cash outflow is the exact
17 opposite of that for an inflow, or the "normal" risk adjustment. The
18 basis for this conclusion is a discussion that illustrates that the
19 application of a normal above-average risk adjusted discount rate to
20 risky cash outflows results in an apparently contradictory result. The
21 suggested solution is to make an adjustment in the opposite direction
22 to arrive at a lower than average risk adjusted discount rate for a risky
23 cash outflow.

- 1 Q. Based on the information provided in Mr. Stalcup's deposition, what
2 is your assessment of the risk adjusted discount rates used in his NPV
3 analysis?
- 4 A. Mr. Stalcup's methodology of adjusting discount rates downward for
5 above average risks is counter-intuitive, untested in practical
6 application, and controversial among academic experts. Moreover, his
7 particular application of this methodology, by making a downward
8 adjustment to a risk-free rate, is a logical contradiction that has no
9 support even among the academic advocates of the methodology.
10 Specifically, I have identified seven substantial reasons to question Mr.
11 Stalcup's "risky cash outflows" methodology and his application of
12 that methodology: (1) the methodology has never been applied before
13 and is untested; (2) Professor Brigham discusses the adjustment of
14 discount rates for risky cash outflows conceptually, but clearly admits
15 that he does not know how to apply his concept practically; (3)
16 Professor Brigham's discussion provides no support for Mr. Stalcup's
17 application of the methodology to risk free rates; (4) the experts
18 disagree as to the validity of Professor Brigham's concept of reducing
19 the discount rate for risky cash outflows; (5) none of the experts
20 recognize the existence of a negative risk premium (i.e., a risk less than
21 zero) inherent in Mr. Stalcup's application; (6) a more moderate and
22 reasonable application of Professor Brigham's risk adjustment concept
23 for risky cash outflows exists; and (7) there is no compelling reason to
24 depart from the standard method of NPV analysis used by this

1 Commission to evaluate ratepayer benefits from utility measures such
2 as the proposed OCL contract buyout.

3

4 Q. Has Mr. Stalcup provided any evidence that his methodology has been
5 applied before or subjected to any type of review or evaluation?

6 A. No. On the contrary, Mr. Stalcup stated in his deposition that he has
7 never used this methodology before in an analysis, nor is he aware of
8 any instance when the Commission Staff has proposed or used risk
9 adjusted discount rates in any docket (Stalcup Dep. p. 92, line 12).

10 Since the methodology has never been used, it certainly has never been
11 applied in a manner that produces a negative risk. For this reason
12 alone, his results should be considered on a conditional basis subject
13 to a thorough review of his methods. This is made more difficult by
14 the fact that Mr. Stalcup's testimony fails to mention his use of the
15 unconventional "risky cash outflow" methodology or provide a single
16 word of explanation or support for his radical application of that
17 methodology. It was only in deposition, after this portion of his
18 analysis was challenged as being in error, that Mr. Stalcup explained
19 his departure from the conventional use of risk adjusted discount rates.

20

21 Q. Does the academic reference cited by Mr. Stalcup provide a means for
22 computing risk adjusted discount rates for risky cash outflows?

23 A. No, it does not. Significantly, Professor Brigham does not provide a
24 method, and states in strong terms that he knows of no method for
25 performing this computation. Referring to an example of his risky cash

1 outflows approach where a discount rate for a higher risk project was
2 adjusted down to 7 percent relative to an average risk of 10 percent.

3 Professor Brigham states:

4 "An obvious question, but one we have no answer for, is 'Where
5 did you get the 7 percent?' The 10 percent was found as the
6 company's cost of capital; the cost of capital rises as the firm
7 takes on riskier projects; but things do not work out as they should
8 if large, but risky, cash outflows are expected during or at the end
9 of the project's life. We wish we had a good answer to this
10 dilemma, but we don't!" (*Financial Management Theory and*
11 *Practice*, p. 405.)

12 In an article cited by Professor Brigham titled "Some Observations
13 on Risk-Adjusted Discount Rates," (*Journal of Finance*, September
14 1977) the author, Wilber G. Lewellen, makes a similar comment
15 regarding the difficulty of calculating risk-adjusted discount rates for
16 risky cash outflows:

17 "What is more severe, of course, is the implementation problem.
18 The execution of any risk-adjusted net present value analysis
19 requires some ability to determine the market-required yield
20 benchmarks to employ. This is the cost-of-capital measurement
21 issue, and it is one thing to be able to cope with that challenge
22 even for broad project categories, let alone to advance to the
23 higher level of measurement skill demanded by an attempt to
24 discriminate among cash flow risk characteristics within projects."

1 Q. Does Mr. Stalloup's academic reference provide support for his
2 application of the risky cash outflows methodology by adjusting the risk
3 free discount rate downward?

4 A. No, it does not. On the contrary, for risky cash outflows Professor
5 Brigham suggests that the ~~average~~ risk (in his example, the utility's
6 overall cost of capital) be adjusted downward from a higher than
7 average risk to a lower than average risk. While he conceded that he
8 knew of no method to calculate the amount of the downward
9 adjustment, he offered no suggestion whatsoever that the adjustment,
10 in whatever amount, could be properly made to the risk free rate. By
11 contrast, Mr. Stalloup first claims to be able to quantify the amount of
12 the downward adjustment, even though his source, Professor Brigham,
13 admits he can't, and then proceeds to produce a negative risk by
14 applying the downward adjustment to a risk free rate, even though his
15 source adjusts an average risk. The following question and answer
16 from Mr. Stalloup's deposition illustrates his inability to tie his
17 calculation to the source he cites for his only support:

18 "Q. Let's pursue this one for a moment. Where does it say in this
19 quote that the way to calculate the risk adjusted discount rate
20 is to subtract the relative risk premium from the riskless
21 interest rate or riskless cost?

22 A. I believe the other parts of that analysis are scattered
23 throughout the entire textbook. Within the next book, I'm
24 sure it's in there somewhere, that the treasury bond rate is a
25 fair representation of a risk free rate, and I don't have that

1 do with me, but I'm sure I can provide that. And I can also
2 provide, if you like, a reference to -- shall I continue?
3 (Stalcup Dep. p. 124, lines 16-17)

4

5 Q. Is there evidence to suggest that there is disagreement among experts
6 regarding the proper treatment of risky cash outflows?

7 A. Yes, there is. Professor Brigham's text, as cited by Mr. Stalcup, refers
8 the reader to other literature on the topics of risky cash outflows and
9 risk-adjusted discount rates. These additional references make clear
10 that this subject area is unsettled. For example, in an article titled
11 "Some Observations on Risk-Adjusted Discount Rates" (*Journal of*
12 *Finance*, September 1977) Wilbur G. Lewellen disagrees with Professor
13 Brigham: "The matter of cash outflow risk, however, is an instance
14 wherein intuition is a poor guide. It turns out that a higher discount
15 rate, for higher risk, applied to outflows is exactly what is called for in
16 a market valuation framework. The standard approach is correct." Mr.
17 Lewellen continues in his concluding remarks: "Be that as it may, the
18 point is that, if risk-adjusted rates are to be employed, a higher-rate
19 treatment of cash-outflow risk is not only conceptually consistent but,
20 indeed, mandatory from a market perspective."

21 Two years later, Stephen E. Cole and Richard H. Pettway
22 commented on Mr. Lewellen's 1977 article in "Some Observations on
23 Risk-Adjusted Discount Rates: A Comment", (*Journal of Finance*,
24 September 1979). In summary, the authors maintained that Mr.
25 Lewellen's argument represented only a special case of risky cash

1 outflows and therefore did not constitute a generalized treatment of the
2 issue. Mr. Lewellen replied to this comment in his "Reply to Pettway
3 and Coles" (*Journal of Finance*, September 1979), in which he agreed
4 that, in some situations, risky cash outflows demand a higher discount
5 rate, while other situations require a lower discount rate for proper
6 treatment. However, Mr. Lewellen maintained that in most analyses,
7 the proper treatment of risky cash outflows would demand that a
8 higher rather than a lower discount rate be employed.

9

10 Q. Is there reason to question the negative risk premiums which result
11 from Mr. Stalcup's unique application of the risky cash outflow
12 methodology?

13 A. Yes, there is. By subtracting the risk premium from the risk free rate,
14 Mr. Stalcup's method results in a negative value for risk. This
15 interpretation is required in order to reconcile Mr. Stalcup's method
16 with the definition of a risk adjusted discount rate as being the sum of
17 a risk free interest rate and a risk premium. Such negative risk
18 premiums have been discussed in the financial literature. For example,
19 in his text *Utilities' Cost of Capital*, Roger A. Morin discusses negative
20 risk premiums and concludes as follows:

21 "The notion of a negative risk premium refers to the situation
22 where the expected market return of common equity is less than
23 that of the bonds of the same issuer. Expressed in another way,
24 the debt securities having prior claims are more costly to the issuer
25 than the securities having residual claims. Such a view is not

1 consistent with the basic precepts of finance, economics and
2 business law. ... The existence of a negative risk premium is highly
3 unlikely, as it is at serious odds with the basic tenets of finance
4 and law."

5 This viewpoint is reflected in the definition of risk adjusted
6 discount rates and risk premiums which, at a minimum, makes no
7 provision whatsoever for the possibility of negative risk premiums and,
8 fairly interpreted, rule out the possibility of negative risk premiums
9 altogether. For example, my Exhibit LGS-23 contains a discussion of
10 risk adjusted discount rates and the definition of risk premium from the
11 text *Essentials of Managerial Finance* by J. Fred Weston and Eugene F.
12 Brigham. In this text, Professor Brigham makes no mention or provision
13 for the possibility of negative risk premiums and by illustration shows
14 the lower bound to be zero.

- 15
- 16 Q. Is there another way to apply Professor Brigham's discussion of risk
17 adjusted discount rates for risky cash outflows to the OCL contract
18 buyout other than the manner used by Mr. Stallcup?
- 19 A. Yes. It is very easy to suggest an application of the risky cash
20 outflows methodology which is perfectly consistent with Professor
21 Brigham's discussion that does not result in problematic negative risk
22 premiums produced by Mr. Stallcup's application. Very simply, a more
23 reasonable application would be to make the desired adjustment in the
24 opposite direction from the normal risk adjustment relative to the
25 average risk adjusted discount rate, rather than in the opposite direction

relative to the risk-free interest rate as done by Mr. Stalcup. In fact, this is exactly how Professor Brigham describes the adjustment: "Therefore, a stream of cash outflows that has a higher-than-average risk must be evaluated with a lower-than-average cost of capital." Furthermore, this is exactly what was done in Professor Brigham's example regarding the evaluation of cash outflows associated with higher risk nuclear plant investment. This example, which arrives at an risk adjusted discount rate of 7 percent, is perfectly consistent with a risk adjustment relative to the average risk level, but is inconsistent with a calculation in which the risk premium is subtracted from the risk free rate.

Q. Have you performed an analysis applying the risky cash outflow methodology in the manner you described above to determine how the results would differ from Mr. Stalcup's analysis?

A. Yes. The results of this analysis are summarized in my Exhibits LGS-17 through LGS-21, which update corresponding exhibits LGS-8 through LGS-12 to my rebuttal testimony. The calculation of the risk adjusted discount rates in the manner described above appears on Exhibit LGS-17, with the adjustment being symmetric with respect to the average risk premium of 10.02 percent. These cases are based on the economic assumptions described in Mr. Stalcup's testimony. The only difference between the results presented in Mr. Stalcup's Exhibit PWS-5 and my Exhibit LGS-18 is the use of the "risky cash outflows" discount rates calculated in the manner described above and shown

1 Exhibit LGS-17 in place of "negative risk" rates calculated by Mr.
2 Stallcup. This shows that Mr. Stallcup's analysis, when performed
3 using a reasonable application of his "risky cash outflows"
4 methodology, supports the proposed OCL contract buyout. The
5 analysis yields a NPV savings of \$75.4 million for the DRI base case
6 (detailed in Exhibit LGS-19), NPV savings of \$53.4 million for the DRI
7 pessimistic case (detailed in Exhibit LGS-20), and NPV savings of \$86.9
8 million for the DRI optimistic case (detailed in Exhibit LGS-21). As with
9 the corresponding analysis in my rebuttal exhibits, these results suggest
10 that there is a negligible probability that the NPV savings would be
11 negative.

12 In addition, my Exhibit LGS-22 updates my rebuttal Exhibit LGS-13
13 and shows an NPV analysis of the OCL buyout using the discount rates
14 produced by a more reasonable application of Mr. Stallcup's "risky cash
15 outflows" methodology, as shown on my Exhibit LGS-17, and Florida
16 Power's forecast assumptions for natural gas prices and combined
17 cycle power plant escalation rates, as described on page 6 of my
18 rebuttal testimony. The results of this analysis show a NPV customer
19 benefit of \$ 102.6 million.

- 20
- 21 Q. Was it necessary or appropriate for Mr. Stallcup to base his analysis of
22 the OCL contract buyout on a radical application of a questionable and
23 untested methodology for risk-adjusting discount rates?
- 24 A. No, it was neither necessary or appropriate. As Mr. Stallcup stated at
25 page 3 of his testimony, he began his analysis by adopting the overall

1 methodology which I used in my direct testimony. He could have easily
2 completed his sensitivity analysis using Data Resources, Inc. forecast
3 data in combination with the proven and accepted method of
4 present
5 computing the net present value of cost/benefit cash flow traditionally
6 used by the Commission for such purposes. Instead, he chose to base
7 his results on a dubious application of a methodology loosely related to
8 an academic debate dating from 1977. When considering the use of
9 Mr. Stallecup's methodology in this proceeding, I would urge the
10 Commission to give careful consideration to the serious implications of
11 using this methodology in other instances where NPV analyses are
12 employed to evaluate ratepayer benefits.

13 Q. Does this conclude your supplemental rebuttal testimony?

14 A. Yes.

1 MR. McGEE: Attached to that are Exhibits LGS-17
2 through 23, and we ask that be marked for identification.

3 COMMISSIONER CLARK: Give me the numbers again.

4 MR. McGEE: LGS-17 through LGS-23.

5 COMMISSIONER CLARK: 23. That will be marked as
6 Exhibit 20.

7 Let me ask a question. I noticed, going back to
8 your prefilled rebuttal testimony, look at page 7, in the
9 question that starts on line 4, is there a word missing?

10 WITNESS SCHUSTER: Yes, I believe there is. I
11 believe the word "compare" should be inserted after the
12 word "forecast," the first "forecast."

13 COMMISSIONER CLARK: Okay. All right.

14 MR. McGEE: Thank you.

15 WITNESS SCHUSTER: Thank you.

16 COMMISSIONER CLARK: Does Mr. Schuster have a
17 summary?

18 MR. McGEE: Yes. What was the exhibit, the
19 composite exhibit number given to his supplemental
20 exhibits?

21 COMMISSIONER CLARK: 20.

22 MR. McGEE: 20, okay.

23 BY MR. McGEE:

24 Q Mr. Schuster, would you give us a summary of your
25 combined rebuttal and supplemental rebuttal testimony?

1 A Yes. My testimony addresses the testimony of
2 Mr. Stallcup and Mr. Larkin. I would like to briefly
3 summarize each of those separately.

4 With respect to Mr. Stallcup's analysis, I
5 believe that his calculation of a risk-adjusted discount
6 rate by subtracting the risk premium from the risk-free
7 rate is incorrect and results in a flawed methodology. He
8 has not provided a single example of another instance where
9 this methodology has been used, nor has he provided any
10 academic reference which indicates specifically a
11 calculation in which a risk premium is subtracted from a
12 risk-free rate.

13 I believe that this calculation produces invalid
14 results. It produces results that are contradictory, and
15 it produces a calculation of discount rates that defy
16 interpretation. He describes his analysis as being a
17 methodology that views the buyout as an investment
18 opportunity being offered to ratepayers. His calculation,
19 however, results in discount rates in the range of 1 1/2%
20 for several of the cash flow columns. Those discount rates
21 cannot be interpreted as investment rates of return given
22 that the risk-free rate is higher.

23 If an investor has an opportunity to invest in a
24 risk-free investment with a return of, let's say, 6%, under
25 no circumstances would they invest in an investment that

1 contains risk at a lower rate of return. So I would submit
2 that that type of a calculation resulting in a discount
3 rate at that level cannot be interpreted in a consistent
4 way, in the way that a normal risk-adjusted discount rate
5 can be interpreted.

6 Under normal circumstances, you add the risk
7 premium to the risk-free rate and you end up with a rate
8 that is higher than the risk-free rate and which
9 compensates the investor for risk. That is not the case
10 with Mr. Stallcup's methodology.

11 I also disagree with Mr. Stallcup's use of a
12 structures index to escalate the cost of the combined cycle
13 plant. My rebuttal testimony discusses that point and
14 defends my use of an equipment index. I show through a
15 materials breakdown for the construction of a typical
16 combined cycle plant that the equipment index is the
17 appropriate index to use for approximately 90% of the total
18 cost of a combined cycle plant. And a structures index
19 could fairly be applied to the balancing 10%, but it would
20 be inappropriate to select the structures index in
21 preference to an equipment index given that relative
22 importance in the construction of a combined cycle plant.

23 I would also like to say a few words about
24 Mr. Larkin's testimony. In summary, I believe that
25 Mr. Larkin's testimony is very little more than speculation

1 on each of the points that he raises.

2 With respect to risk, his discussion I think
3 could fairly be characterized as not even being a criticism
4 of the OCL buyout. It is a generic criticism of any type
5 of a project or a decision that is dependent upon future
6 assumptions. And the fact that he refers in the course of
7 this discussion to the OCL project doesn't make it any more
8 relevant to the OCL project. It could be applied to any
9 project, anything that this Commission considers, and raise
10 the specter of risk using the words that he describes;
11 therefore, I don't think it applies to the OCL project
12 other than to tell everyone involved what they already
13 know, that every forecast has some uncertainty associated
14 with it.

15 With respect to his discount rates, I believe
16 that he has taken an opportunistic approach in quoting 13
17 to 18% rates and has ignored the balance of the arguments
18 and the complexity of the customer discount rate
19 discussion, some of which indicate the customer discount
20 rates can be much lower, and has ignored the real basis why
21 this Commission has accepted an after-tax discount rate on
22 the part of the company as a proxy for the customer
23 discount rate. He doesn't appear to recognize that as
24 being an estimation technique to serve as a proxy for the
25 customer discount rate.

1 I'm troubled by his discussion of industry
2 restructuring. He appears to think that the company should
3 stop taking actions to reduce rates for customers, in
4 particular this buyout opportunity, and wait for industry
5 restructuring to do that for us. I submit to you that we
6 cannot stop doing things that are right. If we have an
7 opportunity to reduce costs, if a project or a buyout or an
8 action by the company is the right thing to do and it's
9 going to save customers money, it should not be denied or
10 rejected simply because some changes may occur in the
11 industry at some future time.

12 Finally, with respect to his alternative
13 proposal, he has freely admitted it is not based on any
14 analysis. To the extent that I have reviewed his proposal,
15 he has not recognized the differences between the company
16 undertaking this transaction versus the customer. No one
17 has conducted that analysis and, therefore, his claims that
18 it would provide savings or would reimburse the company
19 have no basis and should not be given consideration.

20 COMMISSIONER CLARK: Mr. Schuster, what would be
21 the differences? I mean if you are going to use the
22 company's discount rate as a proxy, what is different in
23 the analysis?

24 WITNESS SCHUSTER: Well, we discussed this
25 briefly yesterday. In essence the differences have to do

1 with the taxes.

2 COMMISSIONER CLARK: Okay.

3 WITNESS SCHUSTER: When the company undertakes an
4 investment, there are tax consequences that are not
5 involved in a customer's rate simply being reduced.

6 COMMISSIONER CLARK: Okay.

7 WITNESS SCHUSTER: That concludes my summary.

8 MR. McGEE: Tender Mr. Schuster for cross
9 examination.

10 COMMISSIONER CLARK: Mr. Howe.

11 EXAMINATION

12 BY MR. HOWE:

13 Q Good morning, Mr. Schuster. It seems like
14 afternoon. Mr. Schuster, would you refer, please, to page
15 18 of your prefilled rebuttal testimony?

16 A Yes.

17 Q And I'm looking there at lines 23 through 25
18 where you refer to the fact that some customers have no
19 credit card debts but instead make regular deposits to
20 passbook savings.

21 A Yes.

22 Q Now a customer who has a passbook savings
23 account, can he get his money back right away?

24 A Yes.

25 Q Can he go into the bank and just withdraw it

1 immediately?

2 A Yes.

3 Q Would that customer, if he were to invest in this
4 buyout deal proposed by Florida Power Corporation, be able
5 to get his money back on demand?

6 A No, he would not.

7 Q A passbook savings account is usually insured by
8 FDIC in the amount of a hundred thousand dollars, is it
9 not?

10 A Most of them are, yes.

11 Q Will the customers' investment in this buyout
12 proposal offered by Florida Power Corporation be insured
13 by anybody?

14 A No, it will not.

15 Q Will it be guaranteed in any way?

16 A No.

17 Q Is Florida Power Corporation providing any
18 assurances at all that any portion of the savings the
19 company is projecting will, in fact, be made available to
20 the customers in the years 2014 through 2023?

21 A Only to the extent that our analysis indicates
22 that it is very likely and very probable that most or all
23 or possibly even more than the savings projected will
24 accrue to the customers.

25 Q Would you agree that when an individual accepts

1 low rates of return, such as a 3 to 4% passbook savings
2 rate, there is essentially no risk associated with either
3 receiving the interest earned or a return on their
4 principal?

5 A Yes.

6 Q Isn't it correct that in order to motivate
7 individuals to invest in high-risk ventures one has to
8 increase their potential return well above those of
9 risk-free returns?

10 A Yes.

11 Q Mr. Schuster, if you'd refer please to the next
12 page of your prefiled rebuttal testimony, page 19.

13 A Yes.

14 Q There you calculate a 12.19% return that is
15 represented by the OCL contract buyout; is that correct?

16 A Yes.

17 Q And you characterize that return as an after-tax
18 rate of return; is that correct?

19 A Yes.

20 Q Could you explain that in further detail, what
21 you mean by an after-tax return?

22 A Yes, that 12.19% return is an internal rate of
23 return that is calculated based upon the final right-hand
24 column of the buyout analysis. In effect, those are the
25 dollars that would be charged to customers in the near term

1 and that the customers would receive in benefits after 2013
2 in return for the buyout transaction. Those dollars to
3 customers are on an after-tax basis. There is no tax
4 consequence to them of increasing or decreasing their
5 electric bill incrementally.

6 Q And this is because -- do you mean because, for a
7 residential customer, for example, that utility bills are
8 neither -- are not tax deductible?

9 A Right.

10 Q And refunds or reductions in utility bills are
11 not taxable for the same reason?

12 A Yes.

13 Q Would you agree then, based on your logic, that a
14 customer who has a cost that is above 12.19¢ would be
15 better off investing his money in reducing that cost rather
16 than investing in the OCL buyout?

17 A Yes, viewing it as a hypothetical financial
18 transaction, an investor should always seek to invest or
19 retire a debt in such a way as to maximize his return.

20 Q And this would apply, would it not, to customers
21 who have unsecured loans in the 13¢ range or credit card
22 debt in ranges above 13¢?

23 A Yes.

24 Q Am I correct that under your proposal and your
25 scenario as described beginning on page 19 that in order to

1 receive the returns you referenced there in the range of
2 14.34% to 16.93% that your customers would have to wait
3 until the year 2026 in order to receive this full return?

4 A Well, it would take until that point in time for
5 the transaction to be completed, but they would effectively
6 be earning that return from the very first year. It
7 applies to the entire interval of the transaction.

8 Q They just wouldn't get the money until the end;
9 is that correct?

10 A They wouldn't get the last dollar of the
11 principle and interest, principle and return back until the
12 end of the transaction, that's correct.

13 Q And would it be correct to say that the customers
14 wouldn't get any return at all if there were no automatic
15 adjustment clause to flow through the savings to them?

16 A No, I disagree with that statement.

17 Q And I assume you would disagree for the same
18 reasons you stated yesterday?

19 A Yes, that's correct.

20 Q At the bottom of page 19 of your prefiled
21 testimony you said you would challenge Mr. Larkin's
22 assertion that no sophisticated investor would be likely to
23 accept the return inherent in the proposed OCL contract
24 buyout. Has Florida Power Corporation thought about
25 seeking a sophisticated investor? In other words, in

1 return for an investor providing the buyout funds, Florida
2 Power Corporation would provide a reasonable return?

3 A No, we have not.

4 Q Would you consider Florida Power Corporation to
5 be a sophisticated investor?

6 A Yes, I would.

7 Q Well, then would Florida Power Corporation find
8 it attractive to fund this buyout if Florida Power
9 Corporation were allowed to receive the savings that you
10 are projecting?

11 A No, we discussed that yesterday.

12 Q Well, then in what sense is Florida Power
13 Corporation sophisticated?

14 A I think the distinction is is I was using
15 Mr. Larkin's words where he referred to a sophisticated
16 investor, and I was describing whether or not an investor
17 would consider those returns acceptable. I was not
18 describing a specific investment and the willingness of a
19 specific sophisticated investor to undertake a specific
20 investment.

21 Q Mr. Schuster, if you'd refer, please, to page 20
22 of your prefiled direct testimony, and there beginning on
23 lines 10 and following you take issue with Mr. Larkin's
24 assertion that there are intergenerational inequities, and
25 you conclude that are not; is that correct?

1 A Yes.

2 COMMISSIONER CLARK: Mr. Howe, just so the record
3 is correct, I think you referred to his direct testimony,
4 and you are referring to the rebuttal, right?

5 MR. HOWE: I'm sorry. You're correct. I'm
6 referring to Mr. Schuster's first rebuttal testimony.

7 Thank you.

8 BY MR. HOWE:

9 Q Mr. Schuster, the Commission approved the
10 original contract in this case, did they not?

11 A Yes.

12 Q And in request for approval of that contract,
13 would you agree that Florida Power Corporation told the
14 Commission how the capacity cost would be recovered from
15 the ratepayer?

16 A Yes.

17 Q Would you agree that the company was forthright
18 when they told the Commission that the capacity costs were
19 lower in the beginning and higher at the end of the
20 contract?

21 A Yes.

22 Q Did the company provide an explanation to the
23 Commission of why that was correct and why it was
24 beneficial to the ratepayer?

25 A I don't know what explanation was provided. My

1 understanding to that that was a topic that was mentioned
2 and understood by all of the parties to the approval.

3 Q Is there anything in the Commission's order
4 approving the contract that would indicate that they
5 approved it based on any assumption or knowledge that the
6 contract would create intergenerational inequities?

7 A No.

8 Q Would you agree that when Florida Power
9 Corporation signed the contract with OCL that Florida Power
10 Corporation had a concern about OCL performing under the
11 contract?

12 A Yes.

13 Q Is it correct that the capacity payments were
14 back-end loaded in order to ensure performance?

15 A Yes, that was one of the reasons and the
16 justifications for structuring the capacity payment remain
17 as it is.

18 Q And under that contract with the back-end
19 loading, OCL had to perform throughout the contract in
20 order to receive all the capacity payments; is that
21 correct?

22 A Yes.

23 Q Would it be correct then to say that Florida
24 Power Corporation perceived a risk of nonperformance on the
25 part of OCL?

1 A Yes.

2 Q Is it correct that the purchase of capacity and
3 energy for this contract is passed through the capacity and
4 energy adjustment clauses directly to the ratepayers?

5 A Yes.

6 Q Well, then isn't it correct that any risk
7 inherent in the payment, in the payments, are flowed
8 through the capacity and fuel adjustment clauses?

9 A No, I think I would disagree with that statement
10 because the risk would take the character of having OCL not
11 deliver energy and capacity to Florida Power and its
12 customers, and that would have a physical consequence for
13 the operation of our system and the availability of
14 adequate resources for our customers but might not be
15 directly reflected in the capacity and energy clauses.

16 Q But didn't you agree earlier to a question of
17 mine that the capacity payments were back-end loaded in
18 order to ensure performance by OCL?

19 A Yes, I indicated that that was one of the reasons
20 for structuring the capacity payments in that manner.

21 Q And those capacity payments are flowed through to
22 your customers as they are incurred, are they not?

23 A Yes, they are.

24 Q So those capacity payments that are structured as
25 they are for risk are being borne by the customers as the

1 costs are incurred by the company; is that correct?

2 A Yes, with the qualification that risk is only one
3 element of the reason for that structure.

4 Q Staying on the subject of the structure of the
5 contract and the question of intergenerational fairness
6 that you address on page 20 of your rebuttal testimony,
7 because of the back-end loading of the contract, would it
8 be fair to say that over the 30-year term of the contract
9 customers -- for example, if we break them into thirds --
10 customers in the first ten years would pay lower capacity
11 payments, customers in the middle ten years would pay
12 average capacity payments and customers in the last ten
13 years would pay higher capacity payments?

14 A Yes.

15 Q Now if Florida Power Corporation's proposal in
16 this case is approved, how will customers in those first
17 ten years be treated in comparison to those customers the
18 last ten years?

19 A Well, based on your example, they would still be
20 paying lower costs than the customers in the last ten
21 years.

22 Q No, I'm saying if your proposal is approved.

23 A I'm sorry, I misunderstood your question. Let me
24 back up.

25 Q My question is based on assuming that the

1 company's proposal is approved.

2 A I missed your question. If that were the case,
3 then the pattern would be shifted, and there would be a
4 situation where it would be closer to being levelized than
5 the pattern which existed prior to the buyout.

6 Q In fact, it won't be close to being levelized, in
7 other words, the customers the first ten years, those on
8 line from 1994 through 2013, will pay significantly more
9 for electricity from Florida Power Corporation associated
10 with an equivalent amount of capacity than those in the
11 years 2014 through 2023; isn't that correct?

12 A Well, I don't have those numbers here in front of
13 me. The customers in the near term are not paying their
14 full fair share of the capacity payments; they are getting
15 a bargain. The customers in the last ten years, according
16 to your example, are paying more than their fair share,
17 substantially more; and what we are talking about doing
18 here is lowering the cost in the last ten years and
19 slightly increasing the cost in the first ten years.

20 Q Well, actually, what you're going to do is
21 increase the cost in the first ten years by the rates that
22 you've mentioned in your direct testimony and reduce your
23 cost in the last ten years by the savings you expect to
24 achieve by being out of the contract; isn't that correct?

25 A That's exactly right, and that was the reason for

1 my statement that the effect of that is going to move from
2 a pattern where it slopes up very steeply over the term of
3 the contract to one in which it's more closely leveled.

4 Q Actually, it's going to slope quite steeply
5 downwards, is it not? In other words, the current
6 customers are going to pay an additional \$49,405,000, and
7 those in the last ten years are going to get all the
8 savings?

9 A I wouldn't agree that it will slope steeply
10 downwards, no.

11 Q Would you agree that it will slope downwards?

12 A No, I can't agree with that. I just don't have
13 those numbers here in front of me. I can't remember the
14 pattern offhand.

15 Q Mr. Schuster, let's just speak then, if the
16 company, if this proposal is approved and the company is
17 allowed to buy out the last ten years of the contract,
18 we'll basically be dealing with a 20-year contract; is that
19 correct?

20 A Yes.

21 Q How will the customers over the first ten years
22 of the contract be treated in terms of rate payments in
23 relation to customers over the last ten years of the
24 contract?

25 A Well, the two groups of customers will both pay

1 the capacity payments in the respective portions of the
2 time interval that applies to them, and the customers in
3 the first group will in addition pay the buyout costs
4 during the first five-year term after the termination.

5 Q And that would be the \$49,405,000 figure?

6 A Yes.

7 Q Mr. Schuster, if you'd refer, please, to your
8 page 24. I'm looking at the question and answer appearing
9 beginning on line 17. The question is, "What is your
10 reaction to Mr. Larkin's statement that Florida Power will
11 suffer no harm if the Commission were to deny its
12 petition?" Would it be correct to state that in response
13 to that question you do not identify any harm being
14 suffered by Florida Power Corporation itself?

15 A Yes.

16 Q When this contract was originally approved, how
17 was Florida Power Corporation affected either beneficially
18 or detrimentally?

19 A It was affected I believe both beneficially and
20 detrimentally. It was beneficially affected because it
21 obtained a resource, a generation resource for capacity and
22 energy at what was believed at that time to be a reasonable
23 cost. It was affected detrimentally to the extent, as one
24 example, that it was signing a take or pay contract for a
25 stream of capacity payments that would affect its financial

1 posture with rating agencies.

2 Q Did it, in fact, affect the company's financial
3 posture with the rating agencies?

4 A Yes, it did.

5 Q And when was this effect felt? Was it at the
6 time of entering into the contract or when changes were
7 perceived in the energy markets?

8 A It was at a time after the contracts were
9 signed. I don't know what time frame you are referring to
10 when you say changes perceived in the energy markets.

11 Q Well, then I guess I'd return to my question as I
12 think I posed it. At the time Florida Power Corporation
13 had this contract approved by the Commission, how was
14 Florida Power Corporation affected either beneficially or
15 detrimentally?

16 A I thought I had answered that question. The
17 beneficial effect is the benefit of obtaining a capacity
18 and energy resource. The detrimental effect was the fixed
19 obligation that Florida Power was assuming under the
20 contract.

21 Q If the Commission were to reject Florida Power
22 Corporation's proposal in this docket, wouldn't Florida
23 Power Corporation be affected in the same beneficial and
24 detrimental fashion in the future for the life of the
25 contract?

1 A I don't understand your questioning. Could you
2 elaborate?

3 Q What would change in terms of the beneficial or
4 detrimental effects on Florida Power Corporation if this
5 Commission were to deny the proposal the company is
6 offering in this docket?

7 A Well, as I mentioned earlier, the first order
8 effect, if this transaction is denied, the effect would be
9 transparent to Florida Power under the assumption that the
10 capacity and energy payments will be passed through dollar
11 for dollar to customers over the remaining term of the
12 contract. As you pose the question, you can think of
13 second order effects. For example, Florida Power would
14 have higher rates if this proposal is denied because it
15 won't have the opportunity to buy out the contract in the
16 last ten years and obtain resources at a lower price and
17 provide a lower price to our customers. The company is
18 definitely impacted by the price of its product, so I would
19 say as a second order effect that inability to use this
20 transaction to lower our prices would be an adverse effect.

21 Q Over the next five years as this transaction is
22 approved, will Florida Power Corporation's rates to its
23 customers increase?

24 A Well, there would be an increment attributable to
25 the recovery of the buyout cost, yes.

1 Q Is the answer to the question yes?

2 A Yes.

3 Q Mr. Schuster, would you refer, please, to your
4 prefiled supplemental rebuttal testimony?

5 A Yes.

6 Q And I'm looking at your Exhibit LGS-19.

7 A Yes.

8 Q And this you portray as an example of reasonable
9 application of risky cash outflow methodology; is that
10 correct?

11 A Yes.

12 Q Now in response to a question earlier from
13 Commissioner Clark, I believe when you were giving your
14 summary in this current visit to the stand, you stated that
15 the company funding the buyout, the significant difference
16 between that and the customers doing it would be taxes; is
17 that correct?

18 A Yes.

19 Q Now Mr. Schuster, am I correct that based on your
20 answers to some questions yesterday that the company will
21 incur and pay the buyout costs shown in column 6 of Exhibit
22 LGS-19; is that correct?

23 A Yes.

24 Q And am I correct in recalling that you said that
25 you did not expect that those expenses would be tax

1 deductible in the years in which incurred?

2 A Under Mr. Larkin's alternative proposal, yes,
3 that was my statement.

4 Q Well, I'm just saying, under this proposal, or
5 this example that you are giving in LGS-19, regardless of
6 the specific proposal we are talking about, if the buyout
7 goes through, Florida Power Corporation is going to have to
8 pay Orlando Cogen \$9,881,000 a year for five years, is it
9 not?

10 A Yes.

11 Q It is either going to write a check in that
12 amount to OCL, or it's going to credit it in some fashion;
13 is that correct?

14 A Yes.

15 Q Now am I correct that that, for example,
16 \$9,881,000 payment from Florida Power Corporation to OCL in
17 1997 will not be tax deductible to Florida Power
18 Corporation in 1997?

19 A No, I don't think you're correct in that
20 statement.

21 Q Isn't that what you told me yesterday, sir, that
22 we could not calculate the company's after-tax costs on a
23 year by year basis if the company were to fund the buyout
24 because that would assume that these amounts would be tax
25 deductible and it was your understanding that they would

1 not be tax deductible in the year in which incurred?

2 A Yes, as we were discussing Mr. Larkin's proposal.

3 Q And now we are discussing your exhibit, LGS-19.

4 Is it correct, sir, that if Florida Power Corporation makes
5 a payment to OCL in 1997 in the amount of \$9,881,000 that
6 Florida Power Corporation will not be able to treat that as
7 a tax deductible expense in 1997?

8 A No, I would disagree with that statement.

9 Q Will they be able to treat that as a tax
10 deductible expense?

11 A I believe they would be, yes.

12 Q It will be currently deductible?

13 A Well, we are -- to clarify, we are talking now
14 about the proposal that is represented in the exhibit you
15 are referring to, and that is a current recovery. It's a
16 pass-through of costs. When we pass through capacity
17 payments, when we charge our customers for the OCL capacity
18 payments and remit those capacity payments to OCL, it's a
19 pass-through; there is no tax effect.

20 Q I understand that, sir. My question is, does
21 Florida Power Corporation expect that its payment to OCL in
22 1997 in the amount of \$9,881,000 will, in fact, be
23 considered a tax deductible expense of Florida Power
24 Corporation in 1997?

25 A That is the expectation. I would qualify that by

1 saying this infringes upon the unsettled area of tax law
2 that I referred to yesterday. So there's -- unfortunately,
3 with respect to corporate taxes, there are no absolutes.

4 Q And would you agree that if it is not tax
5 deductible in the year in which incurred that then the
6 payment from the customer in the amount of \$9,881,000 will
7 itself be treated by the IRS as taxable income?

8 A Well, that would happen in any case. The answer
9 to your question is yes, from a tax standpoint the receipts
10 from the company are taxable income. Disbursements from
11 the company are treated as an expense, possibly deductible,
12 possibly not; possibly current, possibly not. The thing
13 that creates the transparency is when receipts and
14 disbursements match as with the capacity pass-through that
15 I mentioned a few minutes ago.

16 Q And would you agree that if the expense is not
17 tax deductible but the revenues received from the customers
18 are that on a net-of-tax basis Florida Power Corporation
19 will incur an expense of \$9,881,000 but on a net-of-tax
20 basis will only receive from the customers approximately
21 six million dollars?

22 A If we didn't get a current tax deduction, yes,
23 you're absolutely correct that Florida Power would come up
24 short. I would like to add to that, that once again,
25 recognizing this is an unsettled area of tax law, Florida

1 Power has not requested a contingency provision to protect
2 Florida Power from that consequence, we are accepting that
3 risk. We feel that we are going to get the deduction based
4 on this structure. If we don't get the deduction, we will
5 accept that consequence.

6 Q If you do not get that deduction, Florida Power
7 Corporation will be funding the buyout at least in part,
8 will it not?

9 A It will have a deferred tax item on its balance
10 sheet. I would not characterize that as funding a
11 transaction.

12 Q Well, Florida Power Corporation will make up the
13 difference between the \$9,881,000 and the net-of-tax
14 receipts from its customers if the deduction is not allowed
15 currently, won't it?

16 A Yes, it will, but I would like to reiterate that
17 there are numerous examples of receipts that Florida Power
18 receives from customers, makes payments in the ordinary
19 course of business where there are tax consequences. Those
20 are not viewed as an investment by Florida Power. They are
21 not viewed as funding a portion of whatever is occurring.
22 They are viewed as tax consequences which generate either a
23 prepaid or a deferred tax on the balance sheet that are
24 treated appropriately for accounting purposes. They are
25 not investments.

1 Q Well, let's just speak in terms of a source of
2 funds. If Florida Power Corporation receives
3 approximately -- receives \$9,881,000 from its customers and
4 that is taxable and assume, please, based on the company's
5 current tax rate, that the net receipts from the customer
6 will be six million dollars, would you agree that Florida
7 Power Corporation in making that payment to OCL will only
8 be reimbursed by its customers on a net-of-tax basis by six
9 million dollars and Florida Power Corporation itself will
10 have paid the additional \$3,881,000?

11 A I would agree that that's one way to characterize
12 the transaction. If you just look at the dollars that are
13 moving, you could put those labels on them. In my opinion,
14 that's not the correct way to view it from a financial
15 standpoint.

16 Q Would you agree that if the buyout payments
17 Florida Power Corporation will be making to OCL are not
18 currently deductible for tax purposes that if Florida Power
19 Corporation wanted to have its customers pay a sufficient
20 amount such that after tax the customers would provide
21 \$9,881,000 that the customers would have to pay \$16,000,000
22 approximately in the years 19 -- each year in the years
23 1997 through the year 2001 so that Florida Power
24 Corporation would have received net of taxes \$9,881,000?

25 A Yes, I would agree with your example and your

1 calculation, but I would like to reiterate that we have
2 considered that as a possibility and we have not requested
3 that from the Commission, to obtain that protection against
4 that tax consequence. We have no intention of grossing up
5 the receipts from the customers for taxes.

6 Q Mr. Schuster, still with reference to Exhibit
7 LGS-19, you've calculated a net present value of
8 \$75,369,000; is that correct?

9 A Yes.

10 Q Based on the numbers shown here, if Florida Power
11 Corporation were to fund the buyout and pay its customers
12 in 1997 \$75,369,000 and Florida Power Corporation were
13 allowed to retain all the savings in the years 2014 through
14 2023, wouldn't Florida Power Corporation break even?

15 A Well, a short answer is yes. I mean you could
16 use these numbers and say we would break even. I would
17 like to point out that these are rebuttal exhibits. I am
18 not endorsing this calculation. I am merely presenting it
19 as an alternative to Mr. Stallcup's calculation.

20 MR. HOWE: No further questions. Thank you very
21 much.

22 COMMISSIONER CLARK: Staff.

23 EXAMINATION

24 BY MR. KEATING:

25 Q Mr. Schuster, you mentioned in your summary that

1 it doesn't make sense to use rates of return less than the
2 risk-free rate which you believe are implied by the
3 discount rates that would result from subtracting the risk
4 premiums from the risk-free rate; is that correct?

5 A Yes.

6 Q Do you believe that Mr. Stallcup's methodology of
7 adjusting discount rates downward is counterintuitive,
8 untested in practical application and controversial?

9 A Yes, I do.

10 Q Okay. If you could please refer to Exhibit 7 to
11 your direct testimony.

12 A Yes.

13 Q Would you agree that columns 1 through 7
14 represent cash expenditures for ratepayers and these
15 expenditures are cash outflows from the ratepayers' point
16 of view?

17 A Yes.

18 Q And would you agree that column 8, which is the
19 difference between columns 3 and 7, represents cash
20 benefits from the buyout and can be considered cash inflows
21 to ratepayers?

22 A No, I wouldn't agree entirely with that. That is
23 the way Mr. Stallcup characterized column 8 in his
24 deposition. Column 8 is the summation of the other seven
25 columns, and it contains both positive and negative

1 numbers. Specifically, the numbers in the first five years
2 are identical to the numbers in column 7 which Mr. Stallcup
3 describes as cash outflows, so I would have to describe
4 column 8 as a mixture of inflows and outflows as opposed to
5 just a pure inflow.

6 Q Let's assume a hypothetical scenario. In this
7 scenario Florida Power Corporation has firm fuel contracts
8 and a firm construction contract through the year 2023 so
9 that there is no uncertainty associated with any of the
10 cash expenditures contained in your Exhibit 7. Under this
11 hypothetical scenario, would you agree that we could
12 calculate the net-present-value savings of the proposed
13 buyout using the risk-free rate with absolute certainty?

14 A Yes, you could certainly do that. You know, if
15 one chooses to do this analysis, they have the freedom to
16 choose whatever discount rate they want to use. The
17 conventional analysis is to apply the after-tax discount
18 rate of the utility to the final column representing the
19 summation of the costs and the benefits to derive a
20 net-present-value number. The use of a risk-free rate in
21 that application would be starting to tilt towards
22 Mr. Stallcup's methodology of using a risk-adjusted
23 discount rate.

24 Q So you'd agree that everything else constant --
25 If you would give me just a minute. I'll move on.

1 Changing the scenario slightly, if we introduce
2 some risk in column 4 of your Exhibit 7, the capacity
3 component of the replacement case so that these estimated
4 costs vary by, say, plus or minus 5% while we still assume
5 that the contract case is known with certainty, given
6 whatever discount rate is used, would you expect that the
7 proposed buyout looks less attractive in this scenario than
8 in the previous one and that the net present value of the
9 buyout is smaller than before?

10 A No, I wouldn't agree with that because the --
11 it's understood that each of these columns, with the
12 exception perhaps of column 6 and column 1, can vary upward
13 or downwards, that's in the context of a sensitivity
14 analysis. The recognition that column 4 may be higher or
15 lower I would characterize as an alternative analysis. The
16 numbers that are presented here are unchanged, and they
17 would not change then at present value.

18 Q Let me see if I can reexplain my scenario, and
19 maybe that would lead to a different answer, I'm not sure.

20 A Okay.

21 Q If we start from the premise in my prior question
22 and scenario that the net-present-value savings could be
23 calculated with absolute certainty with there being no risk
24 involved in columns 1 through 7, in any of those columns,
25 if we change that and introduced some risk in column 4

1 only, would you expect that the proposed buyout looks less
2 attractive and that the net present value of the buyout is
3 smaller?

4 A Yes and no. I would agree that the injection of
5 risk would make it directionally less attractive. The net
6 present value that I understand you're referring to is the
7 base-case net present value as presented here, and the base
8 case would be unchanged. I assume you're referring to an
9 analysis such as Mr. Stallcup did, where he'd do an
10 alternative with an optimistic case which would reflect an
11 increase -- excuse me, a pessimistic case which would
12 reflect an increase in column 4, and that would give you a
13 different net present value as a sensitivity case. And
14 then you'd go the other direction and reduce the capacity
15 payments and calculate a third net present value as an
16 optimistic case, and you end up with three cases that you
17 can then do a risk analysis based on. But the assumption
18 of risk or variation in one of the columns doesn't change
19 then that present value for the base-case analysis.

20 MR. KEATING: Commissioner Clark, could I have
21 just a minute?

22 COMMISSIONER CLARK: Yep.

23 (DISCUSSION OFF THE RECORD)

24 BY MR. KEATING:

25 Q Mr. Schuster, I'm going to move on to a different

1 line of questioning. In your testimony, you describe
2 subtracting risk premiums from the risk-free rate as being
3 untested in practical application; is that correct?

4 A Yes.

5 Q Do you know what variable rate bonds are?

6 A Generally speaking, yes.

7 Q Would you agree that variable rate bonds are
8 bonds that pay an interest rate that can vary depending on
9 the overall level of interest rates?

10 A Yes.

11 Q Would you agree that for company's that issue
12 variable rate bonds the interest paid to bond holders is a
13 cash outflow from the company?

14 A Yes.

15 Q And if the cash outflow is variable or not known
16 with certainty, is there a degree of risk associated with
17 the cash outflow?

18 A Yes.

19 Q And if there is a degree of risk, should there be
20 a risk premium associated with these bonds?

21 A Yes.

22 Q Would you believe that, or would you agree that
23 in order to be compensated for accepting this risk a
24 company issuing variable rate bonds would add these risk
25 premiums to the risk-free rate and not subtract them;

1 would that be your position?

2 A I apologize. You are starting to lose me here
3 because, normally, if a company issues variable rate bonds,
4 they set the parameters on the variation of the interest
5 rate in such a way that it's acceptable to the company. I
6 don't know that they dissect it and think of it in terms
7 of a risk-free rate and a risk premium and do adding and
8 subtracting, I'm not aware that they apply that type of
9 methodology to the thought process.

10 MR. KEATING: Staff is going to hand out an
11 exhibit that is identified as LGS-32. It consists of
12 Florida Power Corporation's historical earnings
13 surveillance report data and historical treasury bond
14 rates.

15 COMMISSIONER CLARK: LGS-32 will be marked as
16 Exhibit 21.

17 BY MR. KEATING:

18 Q Do you recognize these documents?

19 A Yes, with the exception of the final page.

20 Q Would you accept subject to check that the first
21 seven pages are excerpts from Florida Power Corporation's
22 earnings surveillance reports submitted by your company to
23 the Commission every year?

24 A Yes.

25 Q Would you agree that these reports contain

1 detailed information regarding your company's capital
2 structure for each year for the period 1990 to 1996?

3 A Yes, with the qualification that these are stated
4 on a commission basis.

5 Q I'm sorry, what does that mean when you say that
6 they are stated on a commission basis?

7 A As we discussed yesterday, there are two primary
8 ways of presenting capitalization and cost of capital
9 numbers. The financial basis is as we presented in our
10 engineering and economy manual, which is based directly
11 upon the balance sheet of the company. This presentation
12 is a regulatory presentation which includes items that are
13 not considered in a financial presentation.

14 Q Would you accept subject to check that the last
15 page of this exhibit summarizes the long-term fixed rate
16 and variable rate bond components of your company's capital
17 structure?

18 A Yes.

19 Q And would you also accept subject to check that
20 the variable rate bonds on the last page are medium term
21 debt instruments issued by your company with a term greater
22 than one year but generally shorter than 30 years which pay
23 bondholders a variable rate of interest?

24 A Yes.

25 Q From Florida Power Corporation's point of view,

1 the interest paid to these bondholders would be a cash
2 outflow to the company, wouldn't it?

3 A Yes.

4 Q And to the extent that these cash outflows are
5 variable, would you agree that they represent a form of
6 financial uncertainty or risk to the company?

7 A Well, yes, to the extent that they are variable,
8 but the bulk of Florida Power's bond obligations are fixed
9 payment obligations.

10 Q If you could please look at the row at the bottom
11 of the last page or the set of rows that's labeled
12 "Five-Year Treasury Bond Rates." Would you agree that
13 these rates are a reasonable measure of the risk-free rate
14 for medium term bonds?

15 A They are a reasonable measure. There are
16 alternatives. Some people like to use a longer rate than
17 five years as a risk-free rate, but it's one measure that
18 can be used.

19 Q Now if you could please take a look at the two
20 years, 1992 and 1993 in particular. In 1992 Florida Power
21 Corporation had no outstanding variable rate bonds; is that
22 correct?

23 A That's correct.

24 Q Then in 1993, according to Florida Power
25 Corporation's earnings surveillance reports -- I'm sorry,

1 if you could turn to, I believe it's the fourth page of
2 this exhibit containing the company's, Florida Power
3 Corporation's earnings surveillance report for 1993.

4 COMMISSIONER GARCIA: The fourth page?

5 MR. HEATING: I believe it's the fourth page.
6 It's the top left corner. It's schedule 4, page 5 of 9,
7 but I believe all of those say that. Never mind. It's a
8 table titled "Florida Power Corporation Average Capital
9 Structure, FPSC adjusted basis, December 1993."

10 A Yes.

11 Q Okay. According to this report, is it correct
12 that Florida Power Corporation issued 152.9 million dollars
13 of variable rate bonds paying 3.35% interest?

14 A Yes, that appears to be the case.

15 Q And if you turn back to the last page of this
16 exhibit. I think as you stated earlier, you would agree
17 that the rate in 1993 -- well, that the rate for the
18 five-year treasury bond is a good approximation of a
19 risk-free rate, and for 1993 that rate is 5.07%. Is it
20 correct that Florida Power Corporation was paying only
21 3.35%, which is a difference of 1.72%?

22 A Yes, that's the arithmetic of the two numbers.

23 Q Okay. Does it appear to you that Florida Power
24 Corporation was paying an interest rate which was less than
25 the risk-free rate in 1993 and that this rate was

1 associated with a bond that we identified earlier as having
2 all the characteristics of a risky cash outflow?

3 A Well, yes, that is the implication of those two
4 numbers, and I think either with this question or the next
5 one I would like to provide an explanation, so go ahead.

6 Q I'm sorry, could you please repeat what you just
7 said?

8 A I think we are getting towards the end of your
9 line of questioning, and I would like to provide at some
10 point an explanation or a qualification to where you're
11 headed here.

12 Q Okay. Then if you could make that qualification
13 now, I believe I'm at the end of my line of questioning.

14 A Okay. I think your implication is that you are
15 demonstrating an instance where there is a negative risk
16 premium where a risky cash outflow bond is being issued as
17 a rate that is less than the risk-free rate. And I
18 apologize for not being able to fully explain that right at
19 the moment, but I can provide a number of examples why that
20 is not a correct -- you can't draw that conclusion from
21 these numbers.

22 I am not aware of the terms of these variable
23 rate bonds, but they typically are complex financial
24 instruments, and let me just give you a couple of examples
25 of what could be going on here. One is that the variable

1 rate could step up over time, and I think the important
2 concept to keep in mind here is what is the yield to
3 maturity of those particular bonds. I suspect that the
4 yield to maturity is not 3.35%.

5 If you were to issue a financial instrument where
6 for the first five years the rate was 3.35 and then it
7 would step up to 4% in the next five years, 6% in the next
8 five years and 7% in the final five years, the yield to
9 maturity on that bond would be much higher than the initial
10 3.35%. Investors who invest in that are accepting that
11 full-term return on that investment, and it's evaluated as
12 such. So I'm not saying that's what's happening here, but
13 the terms of that bond I am fairly certain would provide a
14 better explanation of why that initial rate is as low as it
15 is.

16 Another possible explanation is there are very
17 often debt instruments that are convertible into equity
18 that represent a considerable value to the investors.
19 Typically those bonds may go out at a very low interest
20 rate that is below a risk-free rate. That doesn't mean
21 they have a negative risk premium. They are a financial
22 instrument. So I would not under any circumstances take
23 the numbers you've presented here and consider them to be
24 evidence of the existence of a negative risk premium.

25 MR. KEATING: Staff would like to get a

1 late-filed exhibit of the terms of Florida Power
2 Corporation's variable rate bonds.

3 MR. McGEE: Any particular bonds, all of them?
4 What --

5 MR. KEATING: Those from 1993, issued in 1993.

6 COMMISSIONER CLARK: That will be Exhibit 22.

7 MR. McGEE: We will attempt to do that.

8 BY MR. KEATING:

9 Q Mr. Schuster, on page 15 of your rebuttal
10 testimony you take issue with Public Counsel Witness Larkin
11 concerning whether the capacity costs under the contract
12 are known with certainty. Do you believe that these
13 payments are fixed?

14 A I believe that they are far more fixed than
15 Mr. Larkin suggests. They are fixed obligations of the
16 company given performance by OCL. OCL has exceeded the
17 required performance to receive those capacity payments by
18 a wide margin thus far during the term of the contract, and
19 I would consider that to be a fixed obligation given the
20 very substantial escalation of those capacity payments over
21 time. The point that Mr. Larkin made yesterday where he
22 was suggesting there was some uncertainty was in reference
23 to the performance adjustment under the contract. I think
24 it's important to bear in mind that is a very tiny upwards
25 and downwards adjustment for performance relative to the

1 capacity payments, and it is a separate payment made to the
2 cogenerator apart from the face value of the capacity
3 payment.

4 Q Are there any provisions in the contract to
5 protect ratepayers in the case of nonperformance by OCL?

6 A Yes, there are.

7 Q Could you describe those provisions?

8 A There are performance provisions which require
9 that OCL provide an on-peak capacity factor in conformance
10 with the contract, and there are sanctions if they don't
11 meet that performance on a rolling 12-month basis; and
12 there are also provisions throughout the contract for them
13 to meet each and every one of the terms of that agreement
14 that affect their delivery of energy to Florida Power.

15 Q If you could please refer to Composite Exhibit 4
16 containing your late-filed deposition exhibits.

17 A Yes.

18 Q On page 17 of that exhibit, I believe that's your
19 Late-filed Deposition Exhibit Number 8, this exhibit shows
20 the most recently updated base-case analysis of ratepayers'
21 savings; is that correct, or Florida Power Corporation's
22 most recently updated analysis?

23 A One moment, please.

24 (WITNESS REVIEWED DOCUMENTS)

25 MR. McGEE: Which late-filed exhibit are we

1 referring to?

2 MR. KEATING: I'm referring to the Late-filed
3 Deposition Exhibit Number 8.

4 MR. McGEE: Eight?

5 MR. KEATING: Yes, sir.

6 MR. McGEE: Okay.

7 A Yes.

8 Q Would you agree that according to this analysis,
9 capacity payments under the contract total 458.989 million
10 dollars and make up approximately 65% of the contract costs
11 during the buyout years?

12 A Yes.

13 Q Does Florida Power Corporation expect any of the
14 capacity and energy to replace the last ten years of the
15 OCL contract?

16 A I'm sorry, could you repeat that question?

17 Q Does Florida Power Corporation expect to need the
18 capacity and energy to replace the last ten years of the
19 OCL contract?

20 A Yes.

21 Q Could you please explain why?

22 A Well, it's our -- I guess I'd characterize this
23 as a base-case or a status quo analysis. Given that it's a
24 long-term projection, we're assuming continued customer
25 growth, continued need to add new capacity, replace

1 existing capacity as it retires; and that out in this time
2 frame, if we did not have deliveries from the OCL contract,
3 it would be necessary to replace that capacity and energy
4 with another source.

5 Q Has Florida Power Corporation performed any
6 reliability studies which show that replacement power will
7 be needed during the buyout years?

8 A No, Florida Power's normal projections are for
9 ten years. Occasionally we go out beyond ten years, but in
10 all honesty, the only thing you can do out in that extended
11 time frame is to assume a continuation of trends, so it
12 would indicate a need for capacity.

13 Q Would you agree that an analysis of the buyout
14 assuming no replacement power can be viewed as an upper
15 bound to the expected ratepayer benefits resulting from the
16 buyout?

17 A I would say in general yes. I'm not fully sure
18 of the implications of that assumption, but I'll say yes.

19 Q Under your Late-filed Deposition Exhibit 8, what
20 would the net present value be if no replacement power is
21 required?

22 A It would be 109,810,000.

23 Q Would you agree that this estimate is dependent
24 on Florida Power Corporation's coal price forecast and
25 discount rate assumption?

1 A Yes.

2 Q Mr. Howe asked you if there would be a rate
3 impact for ratepayers over the next five years if the
4 buyout is approved. Do you recall that?

5 A Yes.

6 Q Have you estimated the rate impact for a typical
7 one thousand kilowatt hour residential customer's monthly
8 bill?

9 A Yes, we have.

10 Q And what is that impact?

11 A It's estimated to be in the range of 30 cents per
12 megawatt hour over the five-year period.

13 **COMMISSIONER CLARK:** What does that mean in terms
14 of the bill of somebody who purchases a thousand kilowatt
15 hours?

16 **WITNESS SCHUSTER:** It would be -- well, for --
17 It would be about 30 cents per month.

18 **COMMISSIONER CLARK:** Okay.

19 Q All right. Going back to my -- going back a
20 couple of questions. I asked that referring to your
21 deposition, your Late-filed Deposition Exhibit 8, I asked
22 what the net present value would be if no replacement power
23 is required.

24 A Yes.

25 Q Did you take into account the buyout costs?

1 A No, I did not. I just eliminated the capacity
2 and energy from the contract case.

3 Q Okay. Taking into account the buyout costs,
4 would you agree subject to check that the net present value
5 would be 69.521 million dollars?

6 A Yes, I would.

7 Q Thank you.

8 MR. HEATING: Staff has no more questions.

9 COMMISSIONER CLARK: Redirect?

10 MR. McGEE: Just one.

11 REDIRECT EXAMINATION

12 BY MR. McGEE: .

13 Q Mr. Schuster, you were asked some questions by
14 Mr. Howe regarding the purpose of back-end loading the
15 revenue stream from QF contracts under the value of
16 deferral methodology, and I think you indicated that the
17 risk of nonperformance was one of the reasons that was
18 taken into account in adopting this back-end loading
19 feature. Are there other reasons?

20 A Yes, there are. The value of deferral
21 methodology in my opinion, which is the reason why the
22 capacity payments have the pattern that they do, was not
23 developed in the first instance to account for risk. It
24 was developed to provide a pattern that provided low rates
25 for customers in the near term and embodied I guess what I

1 would describe as a constant purchasing power concept to
2 the capacity payment stream. It has the effect of
3 providing an incentive to the cogens to operate under their
4 contract for the full term, but that was, that effect was
5 not the primary nor the exclusive reason for patterning the
6 capacity payments that way.

7 MR. MCGEE: That's all I have, Madam Chairman.

8 COMMISSIONER CLARK: Exhibits.

9 MR. MCGEE: We'd ask for the admission of
10 Exhibits 20 and 21.

11 COMMISSIONER CLARK: No, I think yours are 19 and
12 20.

13 MR. MCGEE: Oh, right, I had them backwards,
14 excuse me.

15 COMMISSIONER CLARK: Okay. Without objection,
16 Exhibits 19 and 20 are admitted.

17 MR. KEATING: Staff moves Exhibit 21.

18 COMMISSIONER CLARK: It will be admitted without
19 objection.

20 Just to go over the exhibits, I have Exhibit,
21 what was identified as Exhibit 3 was withdrawn. What is
22 identified as Exhibit 9 is a late-filed exhibit, as is
23 Exhibit 22. What date can we look for the late-filed
24 exhibits, Mr. McGee?

25 MR. MCGEE: I may need to ask the witness on the

1 time that would be involved in putting together late-filed
2 Exhibit Number 9.

3 WITNESS SCHUSTER: We can have those in just a
4 couple of days.

5 COMMISSIONER CLARK: All right. Why don't we say
6 they'll be filed close of business November 7th.

7 MR. HEATING: That would be fine.

8 COMMISSIONER CLARK: All right. Is there any
9 matter we have to take up now?

10 MR. SJOSTROM: Commissioner, OCL at the outset of
11 the hearing had identified several proffered exhibits and
12 one substantive exhibit that it wished to offer without a
13 sponsoring witness. I believe Mr. Childs identified those
14 as being identified in the prehearing order. They are not
15 in the prehearing order; they are in OCL's prehearing
16 statement. We would like to get those marked and offered
17 into the record at this time. The exhibits are the FPSC
18 review of ten-year site plans dated December 26th, 1996 and
19 the December 26th, 1996 staff recommendation in this
20 docket; those are the two exhibits that pertain to the
21 proffer. And the substantive exhibit is Florida Power
22 Corporation's petition for approval of QP contracts in
23 Docket 910401, which includes the OCL contract. I believe
24 there is no objection, or that the objections have been
25 ruled upon.

1 **COMMISSIONER CLARK:** All right. You are asking
2 me to assign each of those exhibits a number, and we'll
3 note that -- each of those items a number as an exhibit and
4 that we'll note that they are being proffered by OCL?

5 **MR. SJOSTROM:** Yes, commissioner.

6 **COMMISSIONER CLARK:** All right. Do you have
7 copies for the court reporter?

8 **MR. SJOSTROM:** I do.

9 **COMMISSIONER CLARK:** All right. Start with your
10 first one again.

11 **MR. SJOSTROM:** The first one, there are two
12 proffer exhibits, two exhibits that pertain only to the
13 proffer. The first one is Florida Public Service
14 Commission review of ten-year site plans dated December 26,
15 1996.

16 **COMMISSIONER CLARK:** What was the date again?

17 **MR. SJOSTROM:** December 26, 1996.

18 **COMMISSIONER CLARK:** Okay. We'll mark that as
19 Proffered Exhibit 23.

20 **MR. SJOSTROM:** The second proffer exhibit is the
21 staff recommendation with respect to the PAA order in this
22 docket also dated December 26, 1996.

23 **COMMISSIONER CLARK:** That will be identified as
24 Proffered Exhibit 24.

25 **MR. SJOSTROM:** And the final exhibit which is not

1 part of the proffer is Florida Power Corp's petition for
2 approval of QF contracts in Docket 910401 dated March 19,
3 1991.

4 COMMISSIONER CLARK: Well, what am I supposed to
5 do with that? I mean if they're not proffered, what are
6 they?

7 MR. SJOSTROM: It would be substantive evidence
8 that we could argue in our briefs.

9 COMMISSIONER CLARK: Well, all right, so you're
10 asking for another exhibit that would not be sponsored by
11 any witness?

12 MR. SJOSTROM: That's correct. We have certified
13 copies. It's a self-authenticating document, and we
14 believe that the relevance of the document appears on the
15 face of the document.

16 COMMISSIONER CLARK: Staff, have you had an
17 opportunity to look at this?

18 MR. KEATING: Yeah. Just for the record, staff
19 would like to have an objection to the exhibits that were
20 proffered. I don't know if you specifically ruled on those
21 yet.

22 COMMISSIONER CLARK: Right, I'm allowing them to
23 proffer them. I note that you've objected to them, and
24 I've overruled the objection, okay?

25 MR. KEATING: Okay.

1 **COMMISSIONER CLARK:** But I'm focusing now on what
2 is identified as 25, and OCL is asking that it simply be
3 offered and accepted as an exhibit. Is there any objection
4 to that? Mr. Howe.

5 **MR. HOWE:** We have discussed this, and I have no
6 objection.

7 **COMMISSIONER CLARK:** Okay.

8 **MR. KEATING:** Could you please tell me again what
9 25 is?

10 **MR. SJOSTROM:** 25 is Florida Power Corp's
11 petition for approval of QF contracts, including the
12 Orlando Cogen contract dated March 19, 1991.

13 **MR. KEATING:** Okay. I don't think we have an
14 objection to that.

15 **COMMISSIONER CLARK:** All right. We'll admit that
16 in the record as Exhibit 25 without objection. Anything
17 else?

18 (**NO RESPONSE**)

19 **COMMISSIONER CLARK:** Thank you all very much.
20 This hearing is adjourned.

21 **MR. KEATING:** Commissioner Clark, could we
22 quickly go over the date for the briefs?

23 **COMMISSIONER CLARK:** I am sorry, yeah. It's
24 appropriate for us to go over the dates for the briefs in
25 the transcript. Go ahead, Mr. Keating.

1 MR. HEATING: We have scheduled right now
2 transcripts due on November 14th and briefs due on December
3 1st.

4 COMMISSIONER CLARK: All right. Any objection or
5 problem with that?

6 (NO RESPONSE)

7 COMMISSIONER CLARK: All right. Thank you.

8 MR. McGEE: Madam Chairman, one minor item that I
9 was just reminded of, at the prehearing conference you
10 deleted our Proposed Issue Number 3 that related to
11 identifying a standard for intergenerational fairness and
12 said that we could include our position on that into issue
13 number 2 because it was subsumed.

14 COMMISSIONER CLARK: Okay.

15 MR. McGEE: I'd like to ask you if just for Issue
16 Number 2, when the briefs are filed, if we can expand the
17 50-word limit that we have on stating our position for that
18 since we need to incorporate what is in effect our position
19 on a whole new issue?

20 COMMISSIONER CLARK: I don't see any reason to do
21 that.

22 MR. McGEE: Okay.

23 COMMISSIONER CLARK: If you find it absolutely
24 necessary, go ahead and do that and then just file a
25 motion -- I guess, Mr. McGee, you know, if you get beyond

1 50 words on a position, I don't know what good it does you.

2 MR. McGEE: Okay.

3 COMMISSIONER CLARK: Is there any objection to
4 him having more than 50 words on his position on Issue 2?

5 MR. HOWE: No.

6 COMMISSIONER CLARK: Go ahead.

7 MR. McGEE: Thanks.

8 COMMISSIONER CLARK: Thank you all.

9 (WHEREUPON, THE HEARING WAS ADJOURNED)

10

11

12 * * *

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
2 :
2 COUNTY OF LEON)


CERTIFICATE OF REPORTERS

3 We, JOY KELLY, CSR, SPR, Chief, Bureau of
Reporting, RONNIE NASH, Official Commission Reporters,
4 and NANCY S. METZKE, CSR, SPR,

5 DO HEREBY CERTIFY that the hearing in Docket
No. 961184-EQ was heard by the Florida Public Service
6 Commission at the time and place herein stated; it is
further

7 CERTIFIED that we stenographically reported
8 the said proceedings; that the same has been
transcribed under our direct supervision; and that
9 this transcript, consisting of 563 pages, Volumes 1
10 through 4, constitutes a true transcription of our
notes of said proceedings and the insertion of the
prescribed profiled testimony of the witnesses.


11 DATED this 19th day of November, 1997.

12 

13 JOY KELLY, CSR, SPR
14 Chief, Bureau of Reporting
(904) 413-6732

15 

16 RONNIE NASH
17 Official Commission Reporter
(904) 413-6736

18 

19 NANCY S. METZKE, CSR, SPR