

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

 In the Matter of : DOCKET NO. 980696-TP
 :
 :
 Determination of the cost of :
 basic local telecommunications :
 service, pursuant to :
 Section 364.025, :
 Florida Statutes :
 :
 :
 :

VOLUME 23 :

Pages 2635 through 2683

PROCEEDINGS:

HEARING

BEFORE:

CHAIRMAN JULIA A. JOHNSON
 COMMISSIONER J. TERRY DEASON
 COMMISSIONER SUSAN F. CLARK
 COMMISSIONER JOE GARCIA
 COMMISSIONER E. LEON JACOBS

DATE:

Thursday, October 15, 1998

TIME:

Concluded at 6:45 p.m.

LOCATION:

Betty Easley Conference Center
 Box 148
 4075 Esplanade Way
 Tallahassee, Florida

REPORTED BY:

JANE FAUROT, RPR

(APPEARANCES: As heretofore noted.)

BUREAU OF REPORTING

RECEIVED 10-26-98

DOCUMENT NUMBER-DATE

11607 OCT 19 98

SPJG-REG-108-REPORTING

I N D E X

WITNESSES

NAME	PAGE NO.
JAMES WELLS	
Continued Cross Examination by Mr. Fons	2638
Cross Examination by Mr. Mitchell	2642
Cross Examination by Mr. Cox	2677
Redirect Examination by Mr. Henry	2681

EXHIBITS - VOLUME 23

NUMBER	I.D.	ADMTD.
85		2682
86		2682
87	2676	2682
88	2677	2682

P R O C E E D I N G S

(Transcript follows in sequences from Volume 22.)

JAMES WELLS

continues his testimony under oath from Volume 22:

CONTINUED CROSS EXAMINATION

BY MR. FONS:

Q Were these contractors contractors that typically do work for telephone companies?

A As far as I know, without knowing the names of the contractors. But given the items that they responded to, one could readily conclude that they do work for phone companies.

Q And could you define for me what you mean by large scale jobs?

A Sure. The criteria of the model is the scorched node concept, therefore you would be rebuilding the entire network. You would get economies of scale. So what you don't want is somebody is to give you a cost to set one pole, because it would be higher. You don't want the cost to bury 50 feet of cable; you want the cost --

Q I didn't ask you what you would not ask for, I asked you what do you -- how do you define a large scale job?

A I'm just trying to describe it. It's where the contractor has enough quantity of work to where they get

1 economies of scales that they give you lower costs. For
2 instance, the cost from a contractor to bury 5,000 feet of
3 cable is less than the contractor is going to quote you to
4 bury 50 feet of cable. And under a scorched node concept,
5 you are going to be getting the economies of scale. That's
6 why it is very important that for purposes of developing
7 contractor costs that the ILECs not use their master
8 contracts for doing onesies and twosies and small jobs. You
9 want to get to large scale projects, because that's the cost
10 efficiencies that would be obtained from a scorched node
11 concept. And that's what we asked for in this request.

12 Q Was the contractor that responded with the \$6 per
13 foot bid, was that for a large scale contract?

14 A He should have been given the same request as
15 anyone else.

16 Q And so was the 4.93, the 4.50, et cetera, isn't
17 th correct?

18 A They should have been all given the same request.

19 Q So they were all bidding on a large scale
20 contract, right?

21 A Let me be clear. It was not a project, it was
22 not a quote, it was not a real job, it was a request for
23 their cost for doing things. And it was done for the
24 purpose of validation of input values that had already been
25 developed.

1 Q And the \$6 quote, or the \$6 price that was
2 reported by a contractor, that was not for a small job, that
3 was for a large scale job?

4 A Okay. No disagreement.

5 Q And the number that you were validating, that is
6 set forth on Page 21 of 25 of your direct testimony, isn't
7 it?

8 A Is there a particular line number?

9 Q Well, that's what I'm trying to find out. Where
10 on this list on Page 21 of 25 is normal touching and dirt
11 with backfill, rural?

12 A Look at Line 22.

13 Q All right. And the number that -- the default
14 number that is used in the Hatfield is \$2.89?

15 A Yes. And the range of Fassett data was the \$1.50
16 to \$6, and the 45 percent says that the default value of
17 2.89 was 45 percent lower than the lowball number. The
18 whole purpose of this document is to show that we didn't
19 lowball a number, and that 2.89 is a reasonably attainable
20 number.

21 Q But wouldn't you also agree that 15 of the 21
22 responses are higher than the default number?

23 A Oh, I will agree with your math, but the point is
24 this is a least cost model. If you are going to do
25 something on least cost, you are going to get a bunch of

1 bids and you are going to take what is a reasonable number.
2 that is the least cost. You are not going to take the
3 average. You're certainly not going to take the highest
4 one. And all we did was say that -- in this case, 2.89 is a
5 reasonable number, because Dean was able to get five or six
6 quotes here that were less than 2.89.

7 Q But there were 15 quotes that were above 2.89?

8 A So what?

9 Q Well --

10 A It doesn't mean the 2.89 is not an invalid
11 number; in fact, it validates the number. It says it's a --
12 this is a least cost model. You would take the low bid.
13 All we proved was we didn't always take the lowball bid. We
14 took a reasonable number that could be obtained.

15 Q Is the \$1.50 a lowball bid?

16 A In this case, when you had 21 quotes, and a
17 \$1.50, which is substantially lower than the second lowest,
18 that would have been a lowball number, and we didn't take
19 it. We took 2.89.

20 Q There is no 2.89 on this list, is there?

21 A Because the input value was developed before this
22 data was gathered. All this does is validate that 2.89 is a
23 good number.

24 Q That's your opinion.

25 A Yes, it is.

1 MR. FONS: I have no further questions.

2 CROSS EXAMINATION

3 BY MR. MITCHELL:

4 Q Good afternoon, Mr. Wells. Tom Mitchell
5 representing MCI.

6 A I'm sorry, I didn't catch your name.

7 Q Tom Mitchell.

8 A Tom?

9 Q Yes.

10 A Thank you.

11 Q I want to just clarify a few points that have
12 already been made by my colleagues. I promise I won't plow
13 ground over again.

14 It is my understanding that when you joined the
15 -- or when this outside plant engineering team was formed,
16 that there was already an existing set of inputs into the
17 Hatfield model, is that right?

18 A The answer is yes, but let me add some clarity to
19 that, and this is before my time. This model evolved out of
20 something else, okay. So something else existed that had
21 input values. It was pretty quickly realized in the
22 regulatory environment under criticism that there was a lot
23 of room for improvement, and so the need to bring in outside
24 plant expertise was pretty quickly realized, and, therefore,
25 the HAI -- Hatfield Associates went out and brought in Mr.

1 Donovan as an outside plant expert to work on the model on
2 the input values for outside plant. Mr. Donovan then
3 brought in some additional colleagues, and out of that grew
4 the engineering team of which I am a member. If that puts
5 it in perspective.

6 Q And Mr. Donovan was a member of the team as far
7 as you understand it, that came up with the original input
8 values, right?

9 A No, to the best of my knowledge whatever preceded
10 Hatfield, and it's in the model description, it came out of
11 something else. It came out of something else, okay. That
12 there existed a model and there existed input values before
13 Donovan came on the scene. But they were not developed by
14 outside plant experienced people.

15 Q And my understanding is that you were an employee
16 of AT&T when you joined the team, right?

17 A Yes.

18 Q And has there always been an AT&T employee on the
19 team?

20 A Not before I joined it.

21 Q But while you were on the team you were an AT&T
22 employee, right?

23 A Up until I took retirement at the end of June.

24 Q And when was that?

25 A The end of June.

1 Q Excuse me?

2 A I'm sorry. I took retirement at the end of June.

3 Q End of June this year?

4 A Yes. The end of June this year, yes. June the
5 30th, 1998.

6 Q Now, I want to cover something that was discussed
7 with Mr. Wood yesterday. Mr. Wood -- let me ask it this
8 way. Would you agree that it would be inappropriate for you
9 as an outside plant engineer to arrive at a conclusion about
10 an input value and then try to find empirical support for
11 that value after you have already reached your conclusion?

12 A No.

13 Q You think that is appropriate?

14 A Well, I think it's appropriate because the
15 engineering team would not have had access to all the data
16 that was needed, so the engineering team would have to come
17 up with the values based on its experience and so forth,
18 which we did. The validation was done to show that the
19 numbers were reasonable.

20 Now, would it have been more appropriate if we
21 had access to all the ILEC data and could use it in a public
22 forum to develop a model, which I have signed agreements
23 that we can't do, that would have been more appropriate.
24 That was not reasonably attainable. So what we did was
25 appropriate, and it's the best that could have been done by

1 the group that we had.

2 Q But you will agree with me, Mr. Wells, that you
3 could have done the process the other way around, couldn't
4 you?

5 A No.

6 Q That is you could have gathered your validation
7 data first, and then based on that data reached a
8 conclusion about the input values?

9 A Not in the time frames that were required to roll
10 out this model, no. There wasn't enough resources nor time
11 to do what you suggested, nor could we as a group of --
12 well, at that time a group of contractors working for AT&T
13 and MCI, go to a supplier of copper cable or fiber cable and
14 say, uh, we are working on a model that we are going to use
15 in public forums to testify against BellSouth and GTE and so
16 forth and so on, would you help us by giving us the price
17 data that you would give them so we can have
18 apples-to-apples comparisons? That ain't going to happen.

19 So I agree conceptually that it would have been
20 more appropriate to do what you are suggesting. What I'm
21 telling you is it was not possible to do because there were
22 no resources to do it, there was no time to do it, and you
23 just can't walk into a vendor and get a BellSouth price. As
24 Mr. Dickerson testified, even Sprint can't get a BellSouth
25 price.

1 Q So if I understand you right, if you did have
2 sufficient time to gather that kind of data you would have
3 gone about the process differently, is that right?

4 A Time, resources, and it's not feasible. No
5 independent contractor is going to go into Lucent
6 Technologies and say, by the way, I would like the BellSouth
7 price, because that's what I need to go before the Florida
8 Public Service Commission and input to my model. It's not
9 going to happen.

10 Now, we can get in this forum and based on the
11 fact that we have nondisclosure, I can see the BellSouth
12 price. I can compare it to what the engineering team came
13 up with, and say, you know, our numbers are reasonable. But
14 to have done that prior to that, it wasn't feasible. Even
15 if we had had the time and resources, you couldn't go into
16 Lucent and get a BellSouth price. It's not going to happen.

17 Q Would you agree with me, Mr. Wells, that a
18 reasonable starting point for all of this input analysis
19 would be the current costs that the ILECs are paying for
20 current technology?

21 A Yes.

22 Q Now, there has been some discussion about this
23 AT&T handbook. You mentioned that in developing the input
24 values, you and other members of the team referenced or
25 looked at technical references, do you remember saying that?

1 A Yes, that is correct.

2 Q To what are you referring when you say that?

3 A I don't know in this particular docket, but we
4 have provided under discovery a list of about 30 or 40
5 documents that we have looked at. There are a number of
6 them referenced in the inputs portfolio. Examples that have
7 come up today would be the outside plant engineering
8 handbook, the BOC notes on the network, in discussion the
9 other day about labor, RS Means and so forth. So those are
10 the types of documents I'm talking about.

11 Q Would you agree, then, since you have referred to
12 the AT&T handbook in this preliminary work that you did,
13 that it is an authoritative source with respect to the
14 construction of outside plant?

15 A Only to the extent that it has not been
16 superseded by technology since it was published.

17 Q And it's my understanding that you and the team
18 are making these decisions about what parts of the handbook
19 have been superseded, is that fair to say?

20 A Well, that's fair to say, but I also point out
21 that BCPM modelers know this stuff, too.

22 Q I didn't ask you about BCPM.

23 A Well, I'm trying to say is it wasn't just us in a
24 vacuum.

25 Q My question had nothing to do with BCPM, Mr.

1 Wells. It had to do with who determines that portions of
2 AT&T handbook had been superseded. And it's my
3 understanding from your testimony that you and members of
4 the team made those decisions, is that right or wrong?

5 A That is right. And it wasn't just us that did
6 it. Anybody that was doing a least cost most efficient
7 based on currently available technology would look at any
8 reference as a starting point, but would then apply the
9 guidelines for these models and the currently available
10 technology. For instance, if you are trying to get least
11 cost, you wouldn't build the plant exactly like the handbook
12 says for an ILEC to do it.

13 I will use growth as an example, okay. The old
14 standards would say put in two pair per living unit. It was
15 discussed earlier today. That's in the handbook. I'm
16 telling you that in terms of a least cost most efficient
17 model on current technology you wouldn't do it that way,
18 because you don't need all of that spare capacity out there.
19 In terms of trying to get at the efficient cost -- the cost
20 of an efficient carrier, that is the wrong standard to use.
21 But it's in the book. I agree it's in the book.

22 Q Is it your opinion that in this field of outside
23 plant construction that the carrier serving area standard
24 referenced in the AT&T handbook has been superseded?

25 A Yes, I've said that several times, and both BCPM

1 and HAI superseded, but do not violate the standards for
2 local limitations or dB loss.

3 Q Is it your understanding that the ILECs have
4 concluded that that carrier serving area standard in the
5 handbook has been superseded?

6 A Yes, based on the fact that three ILECs are
7 sponsoring BCPM in this docket. If they disagree, why would
8 they be sponsoring BCPM? Because BCPM clearly exceeds the
9 carrier serving area criteria for 9,000 feet on 26-gauge
10 cable and for 12,000 feet limitations. I mean, they put
11 range extensions out there, they've got 11,100 feet of
12 26-gauge cable. Both of those exceed the standards. I'm
13 not saying it's wrong, because we do, too. I'm just saying
14 we do it by design to be more efficient, they do it as an
15 exception because of the way they put grids together.

16 Q Now, in developing and in validating -- well,
17 let's focus on developing the inputs. Was there any
18 specific effort made by the engineering team to make the
19 inputs that they were using their judgment to determine, any
20 effort to make them specific to Florida?

21 A Not the outside plant numbers. As I have said,
22 they are national values and they work within the model to
23 produce Florida-specific outputs. And to the extent that
24 the Commission determines that they should be adjusted, as I
25 said, the first step is to get the right model and then we

1 will work out the right inputs.

2 Q Now, we have touched on this validation effort,
3 would you please tell me why there was a validation effort
4 at all?

5 A Sure. So that we can -- in these types of forums
6 we get a lot of criticism, and if you have nothing, then
7 it's our opinion, the opinion of the engineering team versus
8 all the king's horses and all the king's men over here in
9 terms of, in this case, three ILECs. There are ten people
10 that filed rebuttal testimony, okay.

11 Now, subsequent to that, where we now have docket
12 after docket, ILEC information that we can compare to and
13 validate against, there is no longer the need to go out and
14 gather information. We don't do it anymore in terms of
15 validation because we can validate against the ILEC data.
16 But early on we didn't have that data. And so the challenge
17 was made, well, it's just your opinion versus the LEC, and,
18 you know, . . . just didn't -- it was difficult in any state to
19 come in and say, the LECs are all wrong, the folks from New
20 York have got this all figured out and so forth. So we had
21 to get some validation data to show that our numbers are
22 reasonable.

23 Q Would it be fair to say that you didn't feel
24 comfortable going to proceedings like this and sponsoring
25 1400 or so inputs based solely on the engineering judgment

1 of the outside plant engineering team?

2 A No, that's not correct. I felt comfortable, but
3 I have to convince other folks. And my opinion only carries
4 so much weight up against, as I characterize, all the king's
5 horses and all the king's men over there. It is a
6 formidable task. And so the more that you can show that
7 what we are doing is indeed reasonable, the better case you
8 can present.

9 Q So you would feel comfortable proposing these
10 input values without having done any validation effort?

11 A The answer is yes, but I'm more comfortable the
12 more data we have. And particularly when I can compare
13 nowadays with the actual values that the ILECs say they use,
14 and indeed conclude, as I have in my analysis and so forth,
15 that our numbers are indeed reasonable. In fact, in some
16 cases are more reasonable.

17 Q Now, I read in the Hatfield Inputs Portfolio, a
18 section in the beginning talking about the difficulty that
19 the engineering team had in getting information from third
20 party vendors. Do you recall that section of the portfolio?

21 A Yes, it's up front. It's not only the -- yes,
22 the difficulty and the need to protect the sources.

23 Q Now, when you came onto the team, it's my
24 understanding that prior to that point you had had personal
25 experience as an AT&T employee costing out the cost of

1 building a local network for AT&T, am I right about that?

2 A Yes, you are right, but let me be specific. The
3 networks we were looking at would have been point-to-point
4 or ring fiber connecting businesses, not wire center to
5 subscriber local loop, okay. So, in my assignment with AT&T
6 at the time we never did sit down and cost out a local loop,
7 a full-blown local loop.

8 Q Why were you only looking at that kind of outside
9 plant construction?

10 A At that time that was what we would have deployed
11 for market entry.

12 Q That's how AT&T was planning to get into the
13 local market?

14 A At that point in time.

15 Q It wasn't build local service everywhere, it was
16 just these fiber rings as you call them?

17 A At that point in time -- I'm no longer an
18 employee, and I was never in a policymaking decision, so
19 take this for what it's worth. But at that point in time
20 the idea was that through unbundled network elements we
21 would be able to serve consumers, if you will. But that for
22 large businesses around the AT&T wire center, we could
23 bypass the LECs with fiber.

24 Q There would be things common to building that
25 kind of network that are common to building the network we

1 are talking about here today, aren't there?

2 A Possibly a few.

3 Q And in the course of your work for AT&T, did you
4 solicit and try to estimate costs for things like digging
5 trenches?

6 A Yes.

7 Q And did you and the people you work with maintain
8 files and records about information you gathered on this,
9 about this?

10 A At the time that the organization existed we did.

11 Q And so when you joined the outside engineering
12 team for this Hatfield model, did you tell those that you
13 had worked with, that you were working with now as a member
14 of this team that you had this prior experience?

15 A Yes.

16 Q And did you tell them there were documents
17 somewhere at AT&T that reflected the cost estimates that you
18 were generating or had generated in the course of that work?

19 A I think that would have been common knowledge. I
20 don't remember specifically telling them, but they knew what
21 I had done and they knew that we would have had certain
22 costing information for the types of networks that we were
23 putting together for planning purposes.

24 Q Did anyone in any of these meetings that Mr.
25 Carver described say, Mr. Wells, why don't we get that kind

1 of documentary information and let's use it in the course of
2 our work here?

3 A No, because what they said was, Wells, would you
4 look at what we've got, and based on your experience, would
5 you tell us if this is reasonable or should be changed and
6 so forth. There never was a side-by-side comparison of
7 documents as you have depicted.

8 Q All right. But based on what you have said, you
9 had this difficulty getting cost information, and yet AT&T
10 had this information already in their files, so my question
11 to you is why didn't you, if no one asked you to do it, why
12 didn't you go down and ask AT&T for these files about this
13 cost information?

14 A Well, first of all, the characterization that we
15 had extensive files and multiple vendor bids and this, that
16 and the other is not correct. We were looking at a limited
17 number of projects in a couple of cities, and we had some
18 high level costing information for budgetary planning and
19 proposal purposes. What I had was probably not near as good
20 as what John Donovan and Joe Riolo (phonetic) and Joe
21 Fassett had, because they had recently retired from NYNEX,
22 and they had much better cost data than I did. So all I was
23 was one additional sanity check, if you will. But the idea
24 that I had this wealth of documentary information and could
25 do a side-by-side comparison is not an accurate depiction at

1 all of what happened.

2 Q Do those documents exist today, Mr. Wells?

3 A No. That organization was shut down and all the
4 documents were destroyed.

5 Q When were they destroyed?

6 A Well, it would have been around June of '97. I
7 think there is an affidavit on that. It's somewhere around
8 there.

9 Q All right. This validation effort that Mr.
10 Fassett, as I understand from your testimony, took the lead
11 on, you described these letters that he sent out. Prior to
12 turning Mr. Fassett loose, was there any discussion among
13 the team members about a procedure or process he should
14 follow with respect to, you know, whatever vendors he should
15 contact, where they are located, things like that?

16 A I would surmise yes. I was not a member of the
17 team at the time, but looking at the Fassett documents and
18 seeing the letters he wrote and so forth, there was, I would
19 say, a consensus of Dean, go contact, we need certain
20 information from contractors, and whatever you can get. And
21 get it on a large scale project approach. But that would be
22 the extent of the formality of it. Dean then went and -- we
23 turned Dean, they turned Dean loose, to use your
24 characterization.

25 Q Now, you were describing the information and

1 quotes reflected in these charts in JWW-3 a few minutes ago.
2 Did I hear you say that it is your understanding that every
3 quote in these charts reflects information on some kind of a
4 letter or survey that these vendors sent back?

5 A That's my understanding without having gone
6 through and spent the days that it would take to correlate
7 every one of these. But if you go to the Fassett documents,
8 and this being an example of one, and this one is Contractor
9 P, it's a random. And then within here you have a number of
10 quotes, and that if you then go to this chart for these
11 types of costs you will see an entry with a P beside it.
12 That's what this reflects, okay. These are the source
13 documents. This is a spreadsheet that summarizes these, and
14 then back on I think it was Page 21, is a selection of 30 of
15 those to prove another point. So that's how all the data
16 ties together.

17 Q And the letter that you held up, is that what
18 contains the communication from Mr. Fassett to the vendor?

19 A Actually this is the response from the vendor.
20 This particular one doesn't seem to have the letter that
21 went out. I have seen a letter. I have seen a copy of it,
22 but I would have to search through this pile to see if there
23 is one in there.

24 Q Is it important to the information that you got
25 back that each of these contractors was told it was a large

1 scale job, as you call it?

2 A Sure. Because if you are going to have a least
3 cost model based on a scorched node approach where you are
4 replacing the entire network, you don't want a price for
5 putting in one NID, you want a price for putting in hundreds
6 of NIDs. You want a price that reflects the economy of
7 scale.

8 Q All right. So if we were to go through all of
9 this backup documentation and not find letters to some of
10 these vendors on this chart, we don't know that they were
11 told that it was a large scale job, do we?

12 A Okay.

13 Q Would you agree with me then that the values
14 represented on these charts from these vendors, that we
15 don't know what they were told, could be disregarded for
16 this analysis?

17 A No, absolutely not. Because if -- let's put this
18 in perspective.

19 Q Well --

20 A No, no, please let me answer the question. If
21 they didn't bid on a large scale, then they would have bid
22 higher, right? They would have bid higher.

23 Q That's the assumption you make?

24 A Trust me. On economies of scale, you put in
25 1,000 poles, the cost per pole is less than if you put in

1 five poles, okay? Accept that, if you would. Now, if they
2 had bid on five poles, they gave us a higher number. If
3 that number then validated our pole cost, then that's even
4 further evidence that our numbers are reasonable. So the
5 answer to your question was no, for those reasons, even
6 though I can't go and show you the cover letter.

7 Q Now, when Mr. Fassett first started this
8 validation effort, isn't it true that it was the purpose of
9 the validation effort to collect quotes that would then be
10 averaged to come up with validating input data?

11 A Absolutely incorrect. There are no averages in
12 here. The numbers were derived by the engineering team,
13 this is simply to show that the numbers are reasonable.

14 Q Mr. Wells, that's not what I asked.

15 A I'm sorry. You used the term average, didn't
16 you?

17 Q I asked in the beginning --

18 A I'm sorry.

19 ~ -- wasn't the purpose of the validation effort to
20 obtain average values?

21 A And my answer is no. The purpose of the
22 validation was to obtain a number of quotes -- or not
23 quotes, but whatever you call these, but to obtain a number
24 of them to show a range and to show that the values that has
25 been derived by the engineering team fell within that range,

1 and for the most part would fall towards the least cost end
2 of that range. There was no averaging at all done here. In
3 fact, if you are using average values you are not using a
4 least cost model.

5 Q Okay. Mr. Wells, I don't know whether you have
6 Doctor Tardiff's testimony in front of you, but I know you
7 have been shown this document before, so I will presume you
8 have it.

9 A Bear with me, I may.

10 Q Great.

11 A I have a copy.

12 Q If you look at Exhibit 9.

13 A I just seem to have Exhibit 2 for some reason.

14 Q Well, before I get into that exhibit, let me ask
15 you this. Mr. Wells, in this proceeding it's not the first
16 time you have seen all this Fassett charts and Fassett data,
17 is it?

18 A That's correct.

19 Q You have been looking at this stuff for the past
20 several months, haven't you?

21 A I believe the first extensive review was
22 associated with the North Carolina docket. The first time I
23 saw the information was in a deposition the end of January
24 of this year.

25 Q Right, January. And so since January you have

1 had these Fasset documents, you have had the ability to get
2 behind them, so to speak, but you already testified here, I
3 think, that you just haven't done that yet, have you?

4 A I think what I testified was I haven't done it.
5 It's not a question of just having done it, it's a question
6 of why would I do it. And to give you an example, I drove a
7 couple of thousand miles in Georgia to do a validation
8 study. Would you expect Dean Fasset to go out and drive
9 the same amount of mileage and verify that what I did was
10 okay? It's not reasonable for me to spend my time double
11 checking in great detail what Dean did.

12 Q Well, I mentioned Exhibit 9 to Doctor Tardiff's
13 testimony a few minutes ago. You were aware, I think it's a
14 printout of an E-mail in January of 1997 from Dean Fasset
15 to Mr. Donovan, and let me read the first sentence of it.
16 You can tell me, I think, based on that whether you are
17 familiar with it. It says, "John, when I initially
18 contacted the contractors for cost estimates, I explained
19 that the purpose was to obtain an average cost of
20 constructing local loop facilities to provide dial tone."
21 Based on my reading that, do you recall this document?

22 A Could I see that, please?

23 Q Sure.

24 A Could you direct me to a specific paragraph? Mr.
25 Mitchell, could you direct me to a specific paragraph? This

1 is a copy of a fax or something.

2 Q That is my only copy, but I just read the --

3 A Oh, it's the first sentence, okay.

4 Q Do you see there that Mr. Fassett talks about the
5 purpose of the collection of data is to obtain an average
6 cost of building a local loop? Is it fair to assume based
7 on that, that that is what he was doing in this validation
8 effort, at least in January 1997?

9 A The letter uses the word average, and it may be
10 that in going to the contractors he used the word average so
11 as to get their average cost. But in terms of how the data
12 was used for the purpose of validating that our numbers are
13 reasonable, there definitely is not an average. You will
14 see no average. And for the reasons I have explained, it is
15 a least cost model.

16 You look at the range and you look at
17 particularly how many bids are -- how many quotes are lower
18 than what we used. We went back to the previous example of
19 2.89 for the plant. We had five quotes lower than that. So
20 that's how the data was used. The fact that back in January
21 of '97 that Dean used the word average in an E-mail to John
22 is for what it's worth.

23 Q That's my point. Now, you are aware that in the
24 early worksheets of the Hatfield model, and specifically
25 those that pertain to Version 3.1, there are these bar

1 charts, I think, are in the current HIPs, with calculations
2 of average values based on the information gathered by Mr.
3 Fassett, are you not?

4 A Could you show me an example. Or just tell me,
5 I've got the HIP, would you just give me an example?

6 Q I seem to have not brought it. Is it your
7 recollection that averages weren't computed in the bar
8 charts attached to the Hatfield model Version 3.1?

9 A You say were?

10 Q Were not?

11 A They should not. To the best of my recollection
12 they were not, and certainly in 5.0 they are not, because
13 the average is not relevant. What you are looking at is the
14 range, and in particular if the issue is is it least cost,
15 you are looking at the bottom end of the scale. And the
16 point is is our value within the range, and where does it
17 compare to the bottom of the range. That's the purpose of
18 this.

19 Q I won't do the math with you, Mr. Fassett (sic),
20 but you wouldn't dispute that if you calculated averages
21 from all of these values in your charts, most of them are
22 higher than the Hatfield model default values?

23 A I would certainly hope so, because in a least
24 cost model if we were using the average we would not be
25 doing what the guidelines of the model said. So, I'm glad

1 to hear that they are less than the average, because they
2 should be.

3 Q I would like to talk to you about poles for a few
4 minutes, Mr. Fassett -- excuse me, Mr. Wells. You reference
5 for a couple of pages FCC data relating to poles as
6 validating the inputs in the Hatfield model, right?

7 A They serve a couple of purposes. In the direct
8 testimony, though, I'm focusing on the HAI input values, and
9 so the purpose there is to demonstrate that the number that
10 we used, the 417 is indeed a reasonable number based on the
11 FCC data because it varies from much less than that to
12 considerably more than that.

13 I also used a reference to it in the rebuttal
14 testimony to illustrate also a second point, and that is
15 when you go ask the ILEC what the cost is, don't expect that
16 there is an absolute number that is going to come back, and
17 they have this knowledge that says it is this. Because it
18 varies all over. And I think the evidence shows that, and
19 some of the testimony here today shows that there is no
20 single ILEC number because they don't have it, or they can't
21 figure it out. And this just demonstrates that the ILECs
22 don't have superior knowledge in all of these areas.

23 Q Now, you are aware before you prepared your
24 testimony in this case that the information that GTE
25 provided in response to the FCC request excluded a number of

1 items from their responses with respect to material costs
2 and labor costs installing a pole, were you not?

3 A From reading Mr. Tucek's rebuttal, I certainly
4 was made aware of that.

5 Q Well, you had seen his testimony to that effect
6 in other states, had you not?

7 A Yes, I am aware of that, but as I said there are
8 multiple purposes here, and there is also the issue of
9 scale. And as I think came out earlier today, they reported
10 to the FCC somewhere in the neighborhood of 400-odd, and
11 then they are saying that the right input value back to the
12 FCC was \$400-something, and -- wait a second. Let me be
13 precise, if I may.

14 Okay. I'm referencing Exhibit JWW-2 to my
15 direct. GTE filed with the FCC, \$134 material and \$306.04
16 labor, for a total of \$440.04. Now, in this particular
17 docket, based on my analysis, they filed a value of 801.11,
18 okay, which is considerably more. Now, if the only
19 difference is miscellaneous material for the pole, and
20 freight, or even engineering, or whatever, it will not
21 explain the \$300 difference at all. It won't come close to
22 it.

23 And the other point is that, you know, for this
24 docket BellSouth, for comparison purposes, filed with the
25 FCC \$410.46; Sprint filed 270. Now, those are all

1 apples-to-apples comparisons. They all got the same request
2 and they all filed information on the same request. So
3 disregarding the HAI input, that comparison alone would lead
4 one to some conclusions that if they told the FCC that their
5 cost in Florida was this, and then BellSouth filed slightly
6 less, 406.77, Sprint filed considerably more, but still only
7 596.14, GTE is still up around 800, or David says 758 or
8 something, whatever that number is, we would have to
9 reconcile that, but the point is they are considerably above
10 what everybody else says.

11 And the point is that, first of all, our 417
12 appears to be a reasonable number based on the data that is
13 available. And, secondly, GTE's number appears to be quite
14 high. And there is no explanation, no attempt to explain it
15 other than that's what the GTE engineer says.

16 Q You mentioned this 417 figure that the Hatfield
17 model uses. Is it your testimony here today on behalf of
18 the outside engineering team that the 417 was the result of
19 engineering judgment only?

20 A Yes.

21 Q And the inputs portfolio says the 417 is made up
22 of pole cost, material cost of 201 and labor cost of 216?

23 A Correct.

24 Q Now, if Mr. Donovan, the leader of the outside
25 plant engineering team, testified under oath in Washington

1 that the 417 value was derived by averaging vendor quotes
2 that the team received, would he be in error?

3 A That is inconsistent with my understanding.

4 Q Okay. So he has a different understanding than
5 you do as to how the 417 was arrived?

6 A Yes. And I would also say that Mr. Donovan would
7 have better firsthand knowledge than I would on that.

8 Q So he might be right about it coming from an
9 average and you might be wrong?

10 A If there is an inconsistency, then Mr. Donovan
11 you should -- he would be more right. I'm telling you what
12 I understand. Now, as has been established earlier, these
13 were determined prior to my joining the team, so I was not
14 present when it was done. So I have not -- I have not told
15 you anything differently than what I knew, but my
16 understanding was that that number was developed on their
17 experience and knowledge and --

18 Q Okay. Whether he is right or --

19 A It may have been an average of their experience
20 and knowledge, as opposed -- did it say quotes? Is that
21 what his testimony says, quotes?

22 Q Well, let me move on, Mr. Wells.

23 A Well, I want to know; does it say quotes?

24 Q Well, it says an average.

25 A I'll read the transcript.

1 Q It says an average, yes, Mr. Wells.

2 A I will read the transcript.

3 Q Let's move on to the 417. Do you deny that the
4 417 was arrived at by pulling a \$201 quote from one vendor
5 and a \$216 labor quote from another vendor and adding them
6 together to get 417?

7 A As I have testified --

8 Q Do you deny that or is that --

9 A You asked me do I know that that is true?

10 Q I asked you whether you deny that, that that is
11 how the 417 was arrived at?

12 A Since I was not there when it was done, and since
13 my understanding of how it was done was different, I don't
14 know how I could deny it. And now you raise a question of
15 whether I can confirm it, so I guess the truthful answer is
16 I don't know.

17 Q Would it have been proper to get the -- to arrive
18 at the value that way?

19 A y what?

20 Q By pulling a material quote of 201 from one
21 vendor response, and a \$216 labor quote from another vendor
22 and adding them together?

23 A My answer would be, yes, because when I was a
24 member -- when I was part of BellSouth, or South Central
25 Bell at the time, and when I was a representative to

1 BellSouth, the process was that -- and I know of no reason
2 why it would change -- BellSouth bids poles as a material
3 item on large scale contracts. They don't go to a vendor
4 and say give me a combined price for a pole and to set it.

5 Contractors who set poles generally don't procure
6 poles to South Central or BellSouth's specifications in
7 large quantities. So the efficient thing for any ILEC to do
8 is to set its standards for its poles and go out and
9 negotiate for all the poles that it is going to use in a
10 geographic area, have those poles shipped to a pole yard,
11 and then have a contractor who does the labor go and get the
12 pole and set it. So, my answer would be that in a most
13 efficient manner you would bid poles separately than you
14 would bid the labor to set the pole. And I would be
15 surprised if the ILEC is not doing that.

16 Q So, that would be a reasonable way to go about
17 costing out outside plant items?

18 A It would be reasonable because that should be the
19 least cost practice is to bid --

20 Q I'm sorry.

21 A That would be -- now I've lost the question.

22 Q Now, if it's okay to pull the \$201 material --
23 excuse me, \$216 labor quote from a vendor -- strike that.
24 Let's talk for a few minutes about trenching costs, Mr.
25 Wells. It is my understanding that the Hatfield model has

1 these surface texture multipliers in the model, is that
2 right?

3 A Yes.

4 Q And the purpose of those is what?

5 A The U.S. Geological Survey provides surface
6 texture characterizations by census block group. There are
7 certain surface textures that could cause higher cost for
8 trenching, either for buried cable or conduit. And so to
9 the extent that that information is available, we then have
10 a multiplier that would increase the cost if the surface
11 texture was a higher cost. It's trying to be more
12 realistic. And also, as I said earlier, it's a way that we
13 take a national default value and get Florida-specific
14 outputs, because we look at the surface texture by census
15 block group in Florida, and to the extent that it is a
16 higher cost surface, the model takes care of it.

17 Q Okay. You are aware that at some point during
18 the early work of the outside plant engineering team, Mr.
19 Donovan, the leader of the team, asked Mr. Fassett to make
20 some values up for these surface texture multipliers, are
21 you not?

22 A I have -- yes, I have seen a copy of that E-mail.
23 The understanding, and I have talked to them, is that it was
24 in the process of developing these as an addition to a
25 release of the model, probably 3, based on the time frame.

1 And so you develop a methodology and the code to do that,
2 and now you have this table of values, and so for purposes
3 of, if you will, testing the model, we needed inputs. And
4 so John is telling Dean we need some inputs, give us some
5 inputs to start the process here.

6 Q The words he used was make some up?

7 A Okay. I don't disagree with that. All I'm
8 trying to put it is in the context that you've got to have
9 something to start with, and as I also described the
10 consensus process is that those, quote, make up numbers,
11 unquote, would later on have to reach consensus of the team
12 before they became the values that we adopted. So it's just
13 part of the -- you know, any model development, you start
14 out with test data. So, yes, you make it up. When you
15 develop a model you make up some test data.

16 Q And the memo talks about making them up and
17 changing them later, if need be. Do you recall that?

18 A I think that's a -- when you develop a model, you
19 start out with something, you know, an algorithm, formulas,
20 you've got to have some data to run into it. When you start
21 out you make that up. Later on you then come back, given
22 the time and so forth, and getting the team together, and --
23 what was the quote, make changes? That's the process.

24 Q Okay. For the record, this memo is Exhibit 10 to
25 Doctor Tardiff's Exhibit 2, and it has a chart on there

1 attached. Mr. Wells, if you looked at this chart that is
2 attached to the E-mail that we have been talking about, it
3 reflects the made up values by Mr. Fassett for the
4 multipliers. If you compare that to the values that are in
5 the Hatfield model, do you know whether any of them have
6 changed?

7 A No, I have not reviewed the 300-odd pages of Mr.
8 Tardiff's filing, so I don't know.

9 Q No, I'm talking about if you compare this memo
10 that has these made up values from Mr. Fassett to the values
11 in the Hatfield model, do you know whether any of them have
12 been changed since he made them up?

13 A Do I know?

14 Q Yes.

15 A No, I don't know.

16 Q You have never checked that?

17 A Checked it against what?

18 Q What is in the Hatfield model?

19 A I mean -- well, first of all, would I have had
20 the original, and I think not. I was not part of the team
21 when the original numbers were developed, so --

22 Q I'm talking about --

23 A So, when I came on we were getting ready to roll
24 out 3. What I would have seen would have been part of the
25 process. I have a vague recollection of the team sitting

1 around and going through the values and making minor
2 adjustments, but I can't cite a change. It seems if you
3 have got the original list and we now have the current list,
4 we could establish that fact. But I can't sit here and
5 credibly say yes, and then point out an example.

6 Q I want to talk about structure sharing for a few
7 minutes and a related concept is this scorched node that we
8 have already talked about a little bit. But it's my
9 understanding that in a scorched node environment you don't
10 assume that any existing houses are scorched, do you?

11 A You do not. The scorched node concept is that
12 all of the wire center locations remain the same and all the
13 customer locations remain the same.

14 Q And you don't assume that any existing utility
15 plant is scorched, is that right?

16 A Only the telecommunications utilities. You do
17 not assume that the power company and the cable TV company
18 and all of that is scorched.

19 Q So if the power company has lines on a pole, you
20 don't assume that that pole is gone, do you?

21 A No. What the model does is assume that you can
22 achieve sharing of the poles. And the ILEC input data
23 reflects that currently they achieve a significant amount of
24 pole sharing.

25 Q With the power company?

1 A It has got to be just about all power company.
2 I'm not saying somebody else couldn't set a pole, but for
3 the most part I think there are agreements, and the reality
4 is the power company always goes in and sets the poles
5 first.

6 Q Right. The power company has a line on an
7 existing pole, and you assume that they want to hang a power
8 line on another pole, right?

9 A Say that again.

10 Q I thought we already covered the fact that the
11 existing poles having power lines on them are not scorched,
12 right?

13 A The power company is not scorched, that's
14 correct. And what we are saying is that if a new
15 telecommunications company went out there in a scorched node
16 environment, that their pole cost would be about half or in
17 some cases 25 percent of what we model of what it would be
18 if they had to set all the poles themselves, because the
19 power company has got a bunch of poles out there, and the
20 ILEC input data says indeed they do, and indeed they attach
21 to them.

22 Q Let me cover just one last area with you, Mr.
23 Wells. Let's talk about plant mix. I am correct, aren't I,
24 that in the two highest density zones, the Hatfield model
25 assumes that for distribution plant, for aerial distribution

1 plant there are no poles, is that right?

2 A That is correct.

3 Q Is it fair to assume that in the second highest
4 density zone, that is between 5,000 and 10,000 lines per
5 square mile, there could be areas that have single-family
6 homes?

7 A Okay.

8 Q And in those areas you are modeling aerial
9 distribution plant with no poles?

10 A Yes, that's correct. The assumption we have made
11 is in the two highest density zones that a lot of the cable
12 will be inside of or attached to buildings.

13 Q To the houses?

14 A No, to buildings. You generally don't attach to
15 a house.

16 Q Well, there could be -- I thought we just covered
17 the fact that there could be houses in the second highest
18 density zone?

19 A And I'm agreeing with you, I'm just trying to
20 physically describe what happens.

21 Q I'm just trying to understand how we get this
22 wire to and from the houses if there are no poles?

23 A And I will try to explain. The assumption, the
24 modeling assumption that we have made is in the two highest
25 density zones that most of the cable, particularly in the

1 highest density zone, would be inside of or attached to
2 buildings, okay. Now, I will accept your exception that,
3 yes, you are going to find some single-unit dwellings or
4 single businesses that would be served off of aerial cable
5 with drops, that's how you get there, okay.

6 Now, on the assumption that most of the cable is
7 inside of or attached to buildings, how do you model it?
8 What we have done is we have said that for modeling purposes
9 that you would not put a pole inside of the building. Nor
10 would you put buried cable inside of these buildings,
11 because if you put buried cable you incur the cost of a
12 trench. So you are not going to put a trench inside the
13 building. If you say, well, we will call it underground
14 cable, well, then you've got the conduit and the manholes,
15 and that's not appropriate.

16 So what we have done is going back to the FCC
17 accounts, which classifies cable that is inside of or
18 attached to building as, quote, aerial cable. It's field
19 reporting code 12C. We have adopted that, and said that for
20 purposes of costing the structure in those density zones,
21 that the cost associated with the cable, which includes the
22 material and installation, is sufficient in and of itself.
23 And that to model additional structure costs, such as poles,
24 or conduit, or trenches, when most of the cable is inside of
25 or attached to the building would overcost the model.

1 So, if you are trying to say would there ever be
2 a need for a pole in those density zones, I would have to
3 agree. If you had to make a choice between putting poles in
4 and not putting poles in, I would say that if you put poles
5 in, which the BCPM does, then you've got a lot of poles
6 inside of a lot of buildings, and you've got a lot of cost
7 that shouldn't be there.

8 So, we are probably -- going back to Mr. Carver's
9 analogy, we are probably a little bit wrong on the low side,
10 and BCPM is probably a big wrong on the high side in regard
11 to poles in buildings.

12 MR. MITCHELL: Thank you. That's all I have.

13 CHAIRMAN JOHNSON: Staff.

14 MR. COX: Good evening, Mr. Wells. I really just
15 have one question for you. But before I start, Chairman
16 Johnson, I have two exhibits I would like to have marked as
17 exhibits at this time. The first is one that has been
18 discussed through the various company counsel here, the
19 Fassett documents, which is AT&T's supplemental response to
20 staff's Second Request for Production of Documents Number 3,
21 and that would be a confidential exhibit. And we do have
22 copies of that if the Commissioners would like to see it.
23 The short title would be Fassett documents.

24 CHAIRMAN JOHNSON: We will mark that as 87.

25 (Exhibit 87 marked for identification).

1 MR. COX: The second exhibit is identified as
2 JWW-7, and that was the deposition transcript and Late-filed
3 Deposition Exhibits 1 through 3 of Mr. Wells. I do have one
4 question for MCI Counsel. Has Late-filed Exhibit Number 2
5 been provided at this time?

6 MR. MELSON: No, it has not. We are still in the
7 process of getting that.

8 MR. COX: Okay. I guess we might need an
9 additional exhibit for that late-filed exhibit, so this
10 exhibit would contain -- this is Number 88 -- it would
11 contain the deposition transcript and Late-filed Deposition
12 Exhibits 1 and 3.

13 CHAIRMAN JOHNSON: Uh-huh.

14 MR. COX: And then I would need another exhibit
15 marked for identification, and that would be the Late-filed
16 Deposition Exhibit Number 2 to Mr. Wells' deposition.

17 CHAIRMAN JOHNSON: Okay.

18 MR. COX: And that's all I have for the exhibits.

19 (Exhibit 88 marked for identification.)

20 CROSS EXAMINATION

21 BY MR. COX:

22 Q Mr. Wells, I believe earlier in your discussion
23 with GTE's counsel you discussed something that you also
24 discuss in your rebuttal testimony, and in your rebuttal
25 testimony you recommended that the BCPM 3.1 input values for

1 distribution per residential housing unit for the ILECs
2 should be reduced to 1.5?

3 A Okay.

4 Q And I believe in this proceeding the ILECs have
5 recommended two or 2-1/2 pairs per housing unit. Is that
6 your understanding?

7 A Yes.

8 Q And earlier in your discussion, you said that it
9 should be reduced to 1.5, and I thought I heard you say
10 because of inefficiency, is that correct?

11 A What I basically said is that they have modeled
12 an exorbitant amount of spare capacity in the distribution
13 and so that it would be an inefficiency, yes.

14 Q And what is the basis of your conclusion that
15 they have modeled this exorbitant amount of unused facility?

16 A Okay. First of all, in my understanding, and the
17 economists would have to address this, these models should
18 not be providing for any significant amounts of growth. So
19 all of these arguments about second line growth is going to
20 come and you've got to have all of this capacity out there,
21 I think from a standpoint of developing the cost for this
22 model, that is not a valid argument. But I'm not the
23 expert, somebody else will have to address that.

24 But to start off with, do you model for the
25 ultimate capacity for ultimate growth, and my answer is no,

1 you don't do that. So that's a starting point. The second
2 is that we do model spare capacity in the cable through the
3 process of our fill factors. And in distribution, as I use
4 the example, when you take our fill factors and run them
5 down to utilization, and there is a difference there, we
6 come out with about -- and I will use a round number -- 60
7 percent utilization of the distribution plant. So, for
8 every 60 lines, we have got 40 spare pairs.

9 Now, in my opinion, that's more than sufficient
10 to handle any administrative, defective, churn, and even
11 some growth, okay. Now, on the other hand, the ILECs would
12 tell you that historically they have used 40 percent
13 distribution and, therefore, that's what they should model
14 here. So, in other words, for every 40 customers they have
15 got 60 spare pairs. Which, in my opinion, is far in excess
16 of any cost basis that there should be for developing a
17 universal service fund. What, in essence, they are saying
18 is current ratepayers and CLECs should fund the spare
19 capacity for future growth. And I don't think that's
20 correct. But I'm not the economist in this proceeding.

21 We model two pair drops aerial, three pair drops
22 buried. We model NIDs that will handle additional station
23 protectors. The scare tactic that has been used about
24 digging up the lawn, the sidewalk, the street, and the
25 shrubs, and I forget the rest of the list, is a scare

1 tactic. We've got plenty of capacity in ours.

2 And, furthermore, the last point is that there is
3 currently available technology called two channel digital
4 subscriber carrier that is described quite extensively in
5 GTE's documents, and I'm referring specifically to PAR 074.
6 And just to give you an example of how this technology can
7 be used, in reference to -- this is Bates stamped 0000052,
8 it says that when two channel digital subscriber carrier is
9 utilized, a typical feeder relief trigger for qualifying
10 facility area cross connects should routinely range between
11 105 percent to 110 percent of the assigned cable count.

12 So the point is that not that you should deploy
13 this as an initial deployment, but if you run into a
14 situation where you've got growth, this technology will
15 allow you to actually exceed 100 percent utilization of the
16 copper pairs using this technology. Therefore, my
17 contention is that there is no justification for them
18 continuing to have 40 percent utilization in the
19 distribution plant or 60 percent spare capacity. It's gold
20 plating the network, and it's asking CLECs and subscribers
21 to pay for their ability at very, very little incremental
22 cost to add additional customers. Not that that is not a
23 good business practice, it's just not appropriate for a cost
24 proxy model.

25 Q Now, if the Commission were to choose the two or

1 2-1/2 pairs per housing unit, would that increase the
2 overall cost of basic service?

3 A Yes, because traditionally they have modeled two
4 pair per living unit. So if you go to 2-1/2, you are going
5 to have even more larger cables and more spare capacity.

6 Q What kind of impact is that? Do you have any
7 quantification of the impact?

8 A I don't run the models, so I can't answer that.

9 MR. COX: Thank you, Mr. Wells.

10 WITNESS WELLS: Sure.

11 CHAIRMAN JOHNSON: I think we are prepared for
12 redirect. How much will you have?

13 MR. HENRY: One question.

14 CHAIRMAN JOHNSON: Okay.

15 REDIRECT EXAMINATION

16 BY MR. HENRY:

17 Q Mr. Wells, Mr. Mitchell was -- I think it was
18 rig' when he started his conversation with you, he asked
19 you whether you agreed that it was appropriate to use the
20 current costs of the ILECs in these models and you agreed?

21 A As a starting point.

22 Q Okay.

23 A As a starting point.

24 Q So are you talking about the current books of
25 account of the ILECs?

1 A My understanding of his question was current
2 costs for current technology, and that's how I answered the
3 question. As a starting point. In other words, if you can
4 look at what they pay for copper cable today, that is a good
5 starting point. I'm not disputing that. I wish we had that
6 data and could use it publicly.

7 But you've got to apply the criteria to their
8 other costs, and I will use a contractor cost as an example.
9 Don't use a cost for setting, you know, one to five poles.
10 Use a cost for setting, say, 100 poles where you get the
11 economies of scale. It has to be, you know -- I'll just
12 stop there.

13 MR. HENRY: Madam Chairman, I think I just have
14 some exhibits to move.

15 CHAIRMAN JOHNSON: Okay.

16 MR. HENRY: I would move Composite Exhibits
17 Number 85 and 86.

18 CHAIRMAN JOHNSON: Show those admitted without
19 objection.

20 (Composite Exhibits 85 and 86 received into
21 evidence.)

22 MR. COX: Staff moves Exhibits 87 and 88.

23 CHAIRMAN JOHNSON: Show those admitted without
24 objection.

25 (Exhibits 87 and 88 received into evidence.)

1 CHAIRMAN JOHNSON: Thank you, sir. You are
2 excused. We are going to go ahead and adjourn for this
3 evening, and reconvene tomorrow at 9:00.

4 (Transcript continues in sequence with Volume
5 24.)

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

..	28 [3] 2640:8, 10; 2672:17 28-gauge [2] 2640:9, 12 2836 [1] 2638:11 2838 [1] 2638:8 2842 [1] 2638:6 2876 [1] 2637:8 2877 [2] 2638:7; 2637:8 2881 [1] 2638:8 2882 [4] 2637:3, 4, 6, 8 2883 [1] 2638:11 279 [1] 2684:25	86 [3] 2637:4; 2682:17, 20 87 [6] 2637:8; 2676:24, 25; 2682:22, 25 88 [8] 2637:8; 2677:10, 19; 2682:22, 25	allow [1] 2680:18 alone [1] 2668:3 already [8] 2639:24; 2642:12, 16; 2644:11; 2654:10; 2680:2; 2672:8; 2673:10 always [3] 2641:13; 2643:18; 2673:4 among [1] 2655:12 amount [4] 2660:9; 2672:23; 2678:12, 15 amounts [1] 2678:18 analogy [1] 2678:9 analysts [4] 2648:18; 2651:14; 2657:16; 2664:17 another [9] 2658:18; 2667:5, 21; 2673:8; 2677:14 answer [10] 2642:18; 2651:11; 2657:20; 2658:8, 21; 2667:15, 23; 2668:12; 2678:23; 2681:2 answered [1] 2682:2 anybody [1] 2648:8 anymore [1] 2650:14 anyone [2] 2639:15; 2653:24 anything [1] 2668:15 appearances [1] 2635:23 appears [2] 2665:12, 13 apples-to-apples [2] 2645:18; 2665:1 apply [2] 2648:8; 2682:7 approach [2] 2668:21; 2657:3 appropriate [9] 2644:13, 14, 20, 23, 25; 2645:20; 2675:15; 2680:23; 2681:19 area [6] 2648:23; 2648:4, 9; 2668:10; 2673:22; 2680:10 areas [3] 2663:22; 2644:5, 8 aren't [2] 2653:1; 2673:23 argument [1] 2678:22 arguments [1] 2678:19 around [6] 2645:3; 2662:22; 2655:8, 7; 2665:7; 2672:1 arrive [2] 2644:9; 2667:17 arrived [3] 2666:5; 2667:4, 11 ask [7] 2638:21; 2644:7; 2647:22; 2654:12; 2659:14; 2663:15 asked [9] 2638:22; 2639:11; 2654:11; 2658:14, 17; 2667:9, 10; 2669:19; 2681:18 asking [1] 2680:20 assigned [1] 2680:11 assignment [1] 2652:5 associated [2] 2669:22; 2675:21 associates [1] 2642:25 assume [8] 2661:8; 2672:10, 14, 17, 20, 21; 2673:7; 2674:3 assumes [1] 2673:25 assumption [5] 2657:23; 2674:10, 23, 24; 2678:8 attach [2] 2673:20; 2674:14 attached [6] 2662:8; 2671:1, 2; 2674:12; 2678:1, 7, 18, 25 attainable [2] 2640:19; 2644:24 attempt [1] 2669:14 authoritative [1] 2647:13 available [5] 2648:7, 9; 2665:13; 2669:9; 2680:3 average [20] 2641:3; 2658:15, 20; 2669:3; 2680:19; 2681:5, 9, 10, 11, 13, 14, 21; 2682:2, 13, 24; 2683:1; 2686:9
'97 [2] 2655:8; 2681:21			
...			
- (1) 2637:1 - [57] 2638:20, 22; 2640:13; 2641:4, 9, 11; 2642:15, 25; 2644:7; 2645:11; 2648:18; 2649:16; 2650:3, 18; 2651:21; 2652:17; 2655:22; 2657:17, 19; 2658:17, 19, 22; 2661:2, 17; 2663:4; 2664:12; 2668:11, 14, 17, 18, 20; 2667:7, 8, 17, 24; 2668:1, 2, 19, 21, 22, 23; 2669:22; 2670:13, 18, 22; 2671:19, 21, 22; 2674:18; 2678:8; 2677:10; 2679:8; 2680:7; 2681:17; 2682:11 _____ [1] 2635:8 _____ [1] 2635:3	- 3 - 3 [6] 2669:26; 2671:24; 2676:20; 2677:3, 12 3.1 [3] 2661:25; 2682:8; 2677:25 30 [2] 2647:4; 2656:14 300 [1] 2664:21 300-odd [1] 2671:7 308.04 [1] 2664:15 30th [1] 2644:5 364.025 [1] 2635:8	- 9 - 9,000 [1] 2649:9 9 [3] 2669:12; 2680:12; 2683:3 980998-tp [1] 2635:4	
- (1) 2637:1 - [57] 2638:20, 22; 2640:13; 2641:4, 9, 11; 2642:15, 25; 2644:7; 2645:11; 2648:18; 2649:16; 2650:3, 18; 2651:21; 2652:17; 2655:22; 2657:17, 19; 2658:17, 19, 22; 2661:2, 17; 2663:4; 2664:12; 2668:11, 14, 17, 18, 20; 2667:7, 8, 17, 24; 2668:1, 2, 19, 21, 22, 23; 2669:22; 2670:13, 18, 22; 2671:19, 21, 22; 2674:18; 2678:8; 2677:10; 2679:8; 2680:7; 2681:17; 2682:11 _____ [1] 2635:8 _____ [1] 2635:3	- 3 - 3 [6] 2669:26; 2671:24; 2676:20; 2677:3, 12 3.1 [3] 2661:25; 2682:8; 2677:25 30 [2] 2647:4; 2656:14 300 [1] 2664:21 300-odd [1] 2671:7 308.04 [1] 2664:15 30th [1] 2644:5 364.025 [1] 2635:8	- A - ability [2] 2680:1; 2680:21 able [2] 2641:5; 2652:21 above [2] 2641:7; 2665:9 absolute [1] 2663:16 absolutely [2] 2657:17; 2658:11 accept [2] 2658:1; 2675:2 access [2] 2644:15, 21 account [1] 2681:25 accounts [1] 2675:17 accurate [1] 2654:25 achieve [2] 2672:22, 23 actual [1] 2661:13 actually [2] 2656:19; 2680:15 add [2] 2642:18; 2680:22 adding [2] 2667:5, 22 addition [1] 2669:24 additional [6] 2643:3; 2654:23; 2678:23; 2677:9; 2679:22, 2680:22 address [2] 2678:17, 23 adjoins [1] 2683:2 adjusted [1] 2648:24 adjustments [1] 2672:2 administrative [1] 2679:10 admitted [2] 2682:18, 23 admid [1] 2637:2 adopted [2] 2670:12; 2678:19 aerial [6] 2673:25; 2674:8; 2678:4, 18; 2679:21 affidavit [1] 2665:7 after [2] 2644:11; 2660:12 afternoon [1] 2642:4 again [2] 2642:13; 2673:9 against [5] 2648:15; 2650:13, 15; 2651:4; 2671:17 ago [2] 2659:1; 2660:13 agree [10] 2640:21, 23; 2644:8; 2645:2, 10; 2648:17; 2647:11; 2648:21; 2657:13; 2678:3 agreed [2] 2681:19, 20 agreeing [1] 2674:19 agreements [2] 2644:22; 2673:3 ahead [1] 2663:2 ain't [1] 2645:18 algorithm [1] 2676:19 all [49] 2639:18, 19; 2640:13, 2641:4, 13, 22; 2644:15, 21; 2649:18; 2648:18; 2650:4, 8, 19, 20; 2651:4, 5; 2654:9, 14, 22; 2655:1, 3, 9; 2656:15; 2657:3; 2660:2, 16; 2662:21; 2663:18, 22; 2664:21, 25; 2665:1, 2, 11; 2668:9; 2670:7; 2671:19; 2672:12, 18; 2673:1, 18; 2676:12; 2677:18; 2678:18, 19, 20	
- 0 -			
00 [1] 2683:3 0000052 [1] 2680:7 074 [1] 2680:5			
- 1 -			
1,000 [1] 2657:25 1 [2] 2677:3, 12 1.5 [2] 2678:2, 9 1.50 [3] 2640:18; 2641:15, 17 10 [1] 2670:24 10,000 [1] 2674:4 100 [2] 2680:18; 2682:10 108 [1] 2680:11 11,100 [1] 2648:11 110 [1] 2680:11 12,000 [1] 2649:10 12c [1] 2678:19 134 [1] 2664:15 1400 [1] 2650:25 148 [1] 2635:19 15 [3] 2635:17; 2640:21; 2641:7 1997 [2] 2660:14; 2661:8 1998 [2] 2635:17; 2644:5	- 4 - 4.50 [1] 2639:19 4.83 [1] 2639:18 4c [8] 2647:4; 2679:8, 12, 14; 2680:18 400-odd [1] 2664:10 400-something [1] 2664:12 408.77 [1] 2665:8 4078 [1] 2635:20 410.46 [1] 2664:25 417 [11] 2663:10; 2665:11, 16, 18, 21; 2666:1, 9; 2667:3, 4, 6, 11 440.04 [1] 2664:18 48 [3] 2638:18; 2640:16, 17		
- 2 -			
2 [7] 2659:13; 2670:28; 2677:4, 16; 2678:5; 2681:1, 4 2-1 [3] 2678:9; 2681:1, 4 2.89 [1] 2640:14, 17, 19; 2641:4, 6, 7, 10, 19, 20, 22; 2661:19 201 [4] 2665:22; 2667:4, 20; 2668:23 21 [5] 2640:8, 10, 21; 2641:16; 2666:14 216 [4] 2665:22; 2667:5, 21; 2668:23 22 [3] 2638:2, 4; 2640:12 23 [2] 2635:18; 2637:1 24 [1] 2683:5	- 5 - 5,000 [2] 2638:2; 2674:4 5.0 [1] 2662:12 50 [2] 2638:20; 2639:4 598.14 [1] 2665:7		
2 [7] 2659:13; 2670:28; 2677:4, 16; 2678:5; 2681:1, 4 2-1 [3] 2678:9; 2681:1, 4 2.89 [1] 2640:14, 17, 19; 2641:4, 6, 7, 10, 19, 20, 22; 2661:19 201 [4] 2665:22; 2667:4, 20; 2668:23 21 [5] 2640:8, 10, 21; 2641:16; 2666:14 216 [4] 2665:22; 2667:5, 21; 2668:23 22 [3] 2638:2, 4; 2640:12 23 [2] 2635:18; 2637:1 24 [1] 2683:5	- 6 - 6 [8] 2635:18; 2639:12; 2640:1, 18 60 [4] 2679:8, 8, 15; 2680:19		
2 [7] 2659:13; 2670:28; 2677:4, 16; 2678:5; 2681:1, 4 2-1 [3] 2678:9; 2681:1, 4 2.89 [1] 2640:14, 17, 19; 2641:4, 6, 7, 10, 19, 20, 22; 2661:19 201 [4] 2665:22; 2667:4, 20; 2668:23 21 [5] 2640:8, 10, 21; 2641:16; 2666:14 216 [4] 2665:22; 2667:5, 21; 2668:23 22 [3] 2638:2, 4; 2640:12 23 [2] 2635:18; 2637:1 24 [1] 2683:5	- 7 - 738 [1] 2665:7		
2 [7] 2659:13; 2670:28; 2677:4, 16; 2678:5; 2681:1, 4 2-1 [3] 2678:9; 2681:1, 4 2.89 [1] 2640:14, 17, 19; 2641:4, 6, 7, 10, 19, 20, 22; 2661:19 201 [4] 2665:22; 2667:4, 20; 2668:23 21 [5] 2640:8, 10, 21; 2641:16; 2666:14 216 [4] 2665:22; 2667:5, 21; 2668:23 22 [3] 2638:2, 4; 2640:12 23 [2] 2635:18; 2637:1 24 [1] 2683:5	- 8 - 800 [1] 2665:7 801.11 [1] 2664:17 88 [3] 2637:8; 2682:17, 20		

18, 24; 2667:1
 averaged [1] 2658:10
 averages [3] 2658:11; 2662:7, 20
 averaging [2] 2659:2; 2660:1
 aware [6] 2660:13; 2661:23; 2663:23;
 2664:4, 7; 2669:17

- B -

back [10] 2660:4, 14, 26; 2661:18, 20;
 2663:16; 2664:11; 2670:21; 2675:16;
 2678:8

backfill [1] 2640:11

backup [1] 2657:9

bar [2] 2661:25; 2662:7

based [17] 2644:17; 2645:7; 2648:10;
 2648:7; 2649:8; 2650:25; 2654:4, 6;
 2657:3; 2660:16, 21; 2661:6; 2662:3;
 2663:19; 2664:17; 2665:12; 2669:25

basic [2] 2635:9; 2661:2

basically [1] 2678:11

basis [2] 2678:14; 2679:16

bates [1] 2660:7

bcpm [10] 2647:21, 22, 25; 2648:25;
 2649:7, 8; 2678:5, 10; 2677:25

bear [1] 2659:9

became [1] 2670:12

because [29] 2638:19; 2639:9; 2641:5,
 11; 2644:14; 2645:21; 2646:7;
 2648:18; 2649:8, 13, 15; 2650:15;
 2654:3, 21; 2657:2, 17; 2662:12, 23;
 2663:1, 11, 17, 20; 2667:23; 2668:18;
 2669:14; 2673:19; 2675:11; 2678:10;
 2681:3been [21] 2639:14, 18, 24; 2641:18;
 2642:12; 2643:18; 2644:20, 23, 25;
 2645:19; 2648:22; 2647:15, 19; 2649:2,
 24; 2649:9; 2652:3; 2663:19; 2665:6;
 2658:25; 2659:7, 19; 2666:12, 19;
 2667:17; 2671:2, 12, 24; 2676:17;
 2677:5; 2679:23before [12] 2635:1, 14; 2641:21;
 2642:19; 2643:12, 20; 2646:7; 2659:7,
 14; 2663:23; 2670:12; 2678:15

beginning [2] 2661:18; 2668:17

behalf [1] 2665:17

behind [1] 2660:2

being [1] 2656:8

believe [3] 2659:21; 2677:22; 2678:4

bell [1] 2667:25

bellsouth [11] 2645:15, 23, 24; 2648:6,
 11, 18; 2664:24; 2665:5; 2667:24;
 2668:1, 2

bellsouth's [1] 2668:6

beside [1] 2656:11

best [3] 2643:9; 2644:25; 2662:11

better [3] 2661:7; 2664:22; 2666:7

betsy [1] 2635:19

between [3] 2674:4; 2676:3; 2680:10

bid [11] 2639:13; 2641:12, 13, 18;
 2657:21, 22; 2658:2; 2668:13, 14, 19

bidding [1] 2639:19

bids [4] 2641:1; 2654:15; 2661:17;
 2668:2

big [1] 2679:10

bit [2] 2672:8; 2676:9

block [2] 2669:8, 15

boc [1] 2647:8

book [2] 2648:21

books [1] 2661:34

both [2] 2648:25; 2649:12

bottom [2] 2662:15, 17

box [1] 2635:19

bring [1] 2642:23

brought [3] 2642:30; 2643:3; 2662:6

budgetary [1] 2654:18

build [2] 2648:11; 2652:15

building [8] 2652:1, 24, 25; 2661:5;
 2675:9, 13, 18, 25buildings [7] 2674:12, 14; 2675:2, 7,
 10; 2676:8, 11

bunch [2] 2640:25; 2673:18

buried [4] 2669:8; 2675:10, 11; 2679:22

bury [3] 2638:20; 2639:2, 4

business [1] 2680:23

businesses [3] 2652:4, 22; 2675:4

bypass [1] 2662:23

- C -

c [1] 2638:1

cable [23] 2639:20; 2639:3, 4; 2645:13;
 2649:10, 12; 2669:8; 2672:17; 2674:11,
 25; 2676:4, 6, 10, 11, 14, 17, 18, 21,
 24; 2679:2; 2680:11; 2682:4

cables [1] 2661:5

calculated [1] 2662:20

calculations [1] 2662:1

call [4] 2652:19; 2657:1; 2658:23;
 2675:13

called [1] 2660:3

came [8] 2643:7, 10, 11, 13; 2646:12;
 2661:23; 2664:9; 2671:23can't [8] 2644:23; 2645:23, 24; 2658:6;
 2663:20; 2672:2, 4; 2681:8capacity [8] 2648:18; 2678:12, 20, 25;
 2679:2, 19; 2680:1, 19; 2681:5

care [1] 2669:16

carolina [1] 2659:22

carrier [6] 2648:20, 23; 2649:4, 9;
 2680:4, 8

carries [1] 2661:3

carver [1] 2653:25

carver's [1] 2678:8

case [5] 2641:4, 16; 2650:9; 2661:7;
 2663:24

cases [2] 2661:16; 2672:17

catch [1] 2642:8

cause [1] 2669:7

census [2] 2669:5, 14

center [4] 2638:19; 2652:4, 22; 2672:12;
 central [2] 2667:24; 2668:6

certain [3] 2653:21; 2665:19; 2669:7

certainly [4] 2641:3; 2662:12, 23;
 2664:3

cetera [1] 2639:19

chairman [12] 2635:14; 2676:13, 15,
 24; 2677:13, 17; 2681:11, 14; 2682:13,
 15, 18, 23; 2683:1

challenge [1] 2660:16

change [2] 2668:2; 2672:2

changed [3] 2654:5; 2671:8, 12

changes [1] 2670:23

changing [1] 2670:17

channel [2] 2660:3, 6

characterization [2] 2654:14; 2655:24

characterizations [1] 2669:6

characterize [1] 2661:4

chart [4] 2659:10; 2657:10; 2670:25;
 2671:1charts [7] 2656:1, 3; 2657:14; 2659:16;
 2662:1, 8, 21

check [1] 2654:23

checked [2] 2671:16, 17

checking [1] 2660:11

choice [1] 2679:3

choose [1] 2680:25

churn [1] 2679:10

cite [1] 2672:2

cities [1] 2654:17

clarify [1] 2642:11

clarity [1] 2642:18

clark [1] 2635:15

classfile [1] 2675:17

clear [1] 2639:21

clearly [1] 2640:8

clecs [2] 2679:18; 2680:20

close [1] 2664:21

code [2] 2670:1; 2675:19

colleagues [2] 2642:12; 2643:3

collect [1] 2658:9

collection [1] 2661:5

combined [1] 2668:4

come [9] 2644:18; 2647:7; 2650:18;
 2656:10; 2663:16; 2664:21; 2670:21;
 2678:20; 2679:8

comfortable [4] 2650:24; 2651:2, 8, 11

coming [1] 2666:8

commission [4] 2635:1; 2648:8;
 2649:24; 2660:25

commissioner [4] 2635:14, 15, 16

commissioners [1] 2678:22

common [3] 2662:24, 25; 2663:19

communication [1] 2666:18

companies [2] 2639:8, 12

company [11] 2672:17, 19, 25; 2673:1,
 4, 6, 13, 15, 19; 2676:16compare [6] 2646:12; 2650:12;
 2661:12; 2662:17; 2671:4, 9comparison [4] 2654:8, 25; 2664:24;
 2665:3

comparisons [2] 2645:18; 2665:1

composite [2] 2662:16, 20

computed [1] 2662:7

concept [6] 2638:16; 2639:4, 11;
 2672:7, 11

conceptually [1] 2645:19

conclude [2] 2638:11; 2661:14

concluded [2] 2635:18; 2649:4

conclusion [4] 2644:9, 11; 2645:9;
 2678:14

conclusions [1] 2665:4

conduit [3] 2669:8; 2678:14, 24

conference [1] 2639:19

confidential [1] 2678:21

confirm [1] 2667:15

connecting [1] 2652:4

connects [1] 2660:10

consensus [3] 2655:19; 2670:10, 11

considerably [4] 2663:12; 2664:18;
 2665:8, 9

constructing [1] 2660:20

construction [3] 2647:14; 2648:23;
 2652:9

consumers [1] 2652:21

contact [2] 2655:15, 19

contacted [1] 2660:16

contain [2] 2677:10, 11

contains [1] 2658:18

contention [1] 2660:17

context [1] 2670:8

continued [2] 2638:5; 2638:5

convinces [2] 2638:4; 2663:4

continuing [1] 2660:18

contract [2] 2639:13, 20

contractor [10] 2638:25; 2639:2, 3, 7,
 12; 2640:2; 2648:5; 2658:8; 2668:11;
 2682:8contractors [8] 2638:7, 10; 2645:12;
 2655:20; 2656:25; 2660:18; 2661:10;
 2668:5

contracts [2] 2639:8; 2668:3

conversation [1] 2661:18

copies [1] 2678:22

copper [3] 2645:13; 2660:16; 2682:4

copy [5] 2656:21; 2659:11; 2661:1, 2;
 2669:22correct [12] 2638:17; 2647:1; 2651:2;
 2654:16; 2659:18; 2665:23; 2673:14,
 23; 2674:2, 10; 2678:10; 2679:20

correlate [1] 2656:8

cost [56] 2635:5; 2638:18, 19, 20;
 2639:2, 9, 23; 2640:24, 25; 2641:2, 12;
 2648:8, 11, 16, 19; 2651:25; 2652:8;
 2653:17; 2654:9, 13, 22; 2657:3, 25;
 2658:3; 2660:1, 4; 2660:18, 19; 2661:6,
 11, 15; 2662:14, 24; 2663:15; 2665:5,
 22; 2668:19; 2669:7, 10, 11, 16;
 2673:16; 2675:11, 21; 2678:6;
 2678:21; 2679:16; 2680:22, 23;
 2681:2; 2682:8, 9, 10costing [5] 2661:25; 2653:22; 2654:18;
 2668:17; 2675:20costs [12] 2639:1, 7; 2646:19; 2653:4;
 2656:11; 2664:1; 2668:24; 2675:23;
 2681:20; 2682:2, 8could [22] 2638:11, 13; 2641:14;
 2644:21, 25; 2645:3, 8, 11; 2652:22;
 2654:24; 2657:15; 2660:22, 24, 25;
 2662:4; 2667:14; 2669:7; 2672:4;
 2674:5, 16, 17; 2682:6

couldn't [3] 2645:3; 2646:15; 2673:2

counsel [3] 2676:18; 2677:4, 23

count [1] 2660:11

couple [4] 2654:17; 2660:7; 2663:5, 7

course [3] 2653:3, 10; 2654:1

cover [3] 2644:6; 2658:6; 2673:22

covered [2] 2673:10; 2674:16

cox [9] 2636:7; 2678:14; 2677:1, 8, 14,
 18, 21; 2681:9; 2682:23

credibly [1] 2672:5

<p>criteria [3] 2638:18; 2648:9; 2682:7 criticism [2] 2642:22; 2650:8 cross [7] 2638:5, 6, 7; 2638:8; 2642:2; 2677:20; 2680:10 current [10] 2648:19, 20; 2648:17; 2682:1; 2672:3; 2679:18; 2681:20, 24; 2682:1, 2 currently [4] 2648:7, 8; 2672:23; 2680:3 customer [1] 2672:13 customers [2] 2679:14; 2680:22</p> <hr/> <p>- D -</p> <p>d [3] 2638:1; 2637:2; 2638:1 data [28] 2640:15; 2641:22; 2644:15, 21; 2645:7, 17; 2648:2; 2650:15, 18, 21; 2681:12; 2654:22; 2658:15; 2658:10; 2658:19; 2681:5, 11, 20; 2683:5, 11; 2685:12; 2670:14, 15, 20; 2672:22; 2673:20; 2682:8 date [1] 2638:17 david [1] 2685:7 day [1] 2647:9 days [1] 2658:8 db [1] 2648:2 dean [10] 2641:8; 2658:19, 22, 23; 2660:8, 11, 14; 2681:21; 2670:4 deason [1] 2638:14 decision [1] 2652:18 decisions [2] 2647:18; 2648:4 default [5] 2640:13, 18, 22; 2682:22; 2689:13 defective [1] 2679:10 define [2] 2638:13, 22 definitely [1] 2681:13 demonstrate [1] 2683:9 demonstrates [1] 2683:21 density [8] 2673:24; 2674:4, 11, 18, 25; 2675:1, 20; 2678:2 deny [4] 2687:3, 8, 10, 14 depicted [1] 2654:7 depiction [1] 2654:25 deploy [1] 2680:12 deployed [1] 2682:10 deployment [1] 2680:13 deposition [7] 2658:23; 2677:3, 11, 18 derived [2] 2658:12, 25; 2688:1 describe [2] 2638:24; 2674:20 described [4] 2652:28; 2658:11; 2679:9; 2680:4 describing [1] 2655:25 description [1] 2643:10 design [1] 2648:14 destroyed [2] 2655:4, 8 detail [1] 2680:11 determination [1] 2635:5 determine [1] 2648:19 determined [1] 2688:13 determines [2] 2648:1; 2648:24 develop [4] 2644:22; 2670:1, 18, 18 developed [3] 2639:28; 2641:21; 2643:13; 2668:18; 2671:21 developing [7] 2638:8; 2648:23;</p>	<p>2649:18, 17; 2669:24; 2678:21; 2679:18 development [1] 2670:13 dial [1] 2680:20 dickerson [1] 2645:24 didn't [13] 2638:21; 2640:18; 2641:13, 18; 2642:8; 2647:22; 2650:16, 10, 23; 2654:11, 12; 2657:21; 2658:15 difference [3] 2684:18, 21; 2679:5 different [2] 2668:4; 2687:13 differently [2] 2648:3; 2668:15 difficult [1] 2650:18 difficulty [3] 2681:18, 22; 2684:9 digging [2] 2653:4; 2679:24 digital [2] 2630:3, 8 direct [5] 2648:8; 2660:24, 29; 2683:7; 2684:15 dirt [1] 2640:10 disagree [2] 2648:7; 2670:7 disagreement [1] 2640:4 discovery [1] 2647:4 discuss [1] 2677:24 discussed [4] 2644:8; 2648:18; 2678:18; 2677:23 discussion [8] 2648:22; 2647:8; 2655:12; 2677:22; 2678:8 dispute [1] 2682:20 disputing [1] 2682:5 disregarded [1] 2657:15 disregarding [1] 2685:3 distribution [9] 2673:25; 2674:9; 2678:1, 12; 2679:3, 7, 13; 2680:19 doctat [8] 2635:4; 2647:3; 2648:7; 2650:11, 12; 2659:22; 2684:17, 24 doctor [2] 2688:8; 2688:12; 2670:25 document [2] 2640:18; 2689:7; 2680:21 documentary [2] 2654:1, 34 documentation [1] 2657:9 documents [14] 2647:5, 10; 2652:18; 2654:7; 2655:2, 4, 17; 2658:7, 13; 2680:1; 2678:18, 20, 23; 2680:8 doesn't [2] 2641:10; 2688:20 doing [7] 2638:8, 23; 2648:8; 2681:7; 2681:7; 2682:29; 2688:19 don't [29] 2638:18, 19; 2647:3; 2648:18; 2650:14; 2653:20, 25; 2657:4, 10, 18; 2658:9; 2683:15, 20, 22; 2687:13, 18; 2688:3, 8; 2670:7; 2671:8, 18; 2672:9, 14, 20; 2674:14; 2679:1, 19; 2681:8; 2682:9 done [18] 2638:23; 2644:18, 26; 2645:3; 2648:14; 2681:10; 2683:21; 2689:2; 2680:3, 4, 8; 2688:14; 2687:12, 13; 2675:5, 18 donevan [10] 2643:1, 2, 8, 13; 2684:20; 2680:18; 2685:24; 2688:8, 10; 2689:19 double [1] 2680:10 down [4] 2652:8; 2654:12; 2655:3; 2678:5 drive [1] 2680:8 drops [2] 2675:9; 2679:21 drove [1] 2680:8 during [1] 2689:17 dwellings [1] 2675:3</p>	<p>- E -</p> <p>e [4] 2635:16; 2636:1; 2638:1 e-mail [4] 2680:14; 2681:21; 2689:22; 2671:2 each [1] 2658:25 earlier [8] 2648:15; 2664:9; 2688:12; 2689:12; 2677:22; 2678:8 early [3] 2650:18; 2681:24; 2689:18 easley [1] 2635:19 economies [5] 2638:17; 2639:1, 8; 2657:24; 2682:11 economist [1] 2679:20 economists [1] 2678:17 economy [1] 2667:8 effect [1] 2664:5 efficiencies [1] 2639:10 efficient [7] 2648:8, 18, 19, 20; 2648:14; 2688:7, 13 effort [10] 2648:18, 20; 2650:2, 3; 2651:10; 2655:9; 2658:8, 9, 19; 2681:8 withar [1] 2689:8 elements [1] 2652:20 else [8] 2638:15; 2642:20; 2643:11; 2665:10; 2673:3; 2678:23 empirical [1] 2644:10 employee [5] 2643:15, 18, 22; 2651:25; 2652:18 end [8] 2643:23, 25; 2644:2, 3, 4; 2659:1, 23; 2682:15 engineer [2] 2644:9; 2665:15 engineering [19] 2642:15; 2643:4; 2644:15, 18; 2648:12; 2647:7; 2648:18; 2650:7, 25; 2651:1, 18; 2653:11; 2658:12, 25; 2664:20; 2668:18, 19, 25; 2688:18 enough [2] 2638:20; 2645:16 entre [2] 2638:16; 2657:4 entry [2] 2652:11; 2688:11 environment [3] 2642:22; 2672:9; 2673:18 error [1] 2688:2 esplanade [1] 2635:20 essence [1] 2679:17 establish [1] 2672:4 established [1] 2688:12 estimate [1] 2683:4 estimates [2] 2653:17; 2680:18 et [1] 2638:18 even [7] 2645:24; 2648:14; 2658:3, 5; 2664:20; 2679:10; 2681:5 evaning [2] 2678:14; 2683:3 ever [1] 2679:1 every [4] 2688:3, 7; 2679:8, 14 everybody [1] 2685:10 everywhere [1] 2652:15 evidence [4] 2688:4; 2683:18; 2682:21, 25 evolved [1] 2642:19 exactly [1] 2648:11 examination [8] 2638:5, 6, 7, 8; 2638:8; 2642:2; 2677:20; 2681:15 example [10] 2648:13; 2688:2, 2688:8; 2681:18; 2682:4, 5; 2672:5; 2678:4; 2680:8; 2682:8</p>	<p>examples [1] 2647:8 exceed [2] 2648:12; 2680:15 exceeds [1] 2648:8 exception [2] 2648:18; 2675:2 excess [1] 2678:15 excluded [1] 2683:25 excuse [2] 2644:1; 2683:4; 2688:23 excused [1] 2683:2 exhibit [17] 2658:12, 13, 14; 2660:12; 2664:14; 2679:24, 25; 2678:21, 25; 2677:1, 4, 8, 10, 14, 16, 19 exhibits [11] 2637:1; 2678:18, 17; 2677:3, 12, 18; 2682:14, 16, 20, 22, 25 exist [1] 2655:2 existed [4] 2642:20; 2643:12; 2653:10 existing [5] 2642:16; 2672:10, 14; 2673:7, 11 exorbitant [2] 2678:12, 15 export [2] 2680:8; 2683:15 experience [8] 2644:17; 2651:25; 2653:14; 2654:4; 2688:17, 19 experienced [1] 2643:14 expert [2] 2643:1; 2678:23 expertise [1] 2642:24 explain [3] 2664:21; 2665:14; 2674:23 explained [2] 2680:18; 2681:14 explanation [1] 2685:14 extensions [1] 2648:11 extensive [2] 2654:15; 2689:21 extensively [1] 2680:4 extent [5] 2647:18; 2649:23; 2655:22; 2689:8, 15</p> <hr/> <p>- F -</p> <p>f [1] 2635:15 facilities [1] 2680:20 facility [2] 2678:18; 2680:10 fact [8] 2641:11; 2648:11; 2648:9; 2681:18; 2688:3; 2681:20; 2672:4; 2673:10; 2674:17 factors [2] 2679:3, 4 fair [5] 2647:19, 20; 2650:23; 2681:8; 2674:3 fall [1] 2688:1 familiar [1] 2680:17 far [3] 2638:9; 2643:8; 2679:15 fassett [22] 2640:18; 2654:21; 2655:10, 12, 17; 2656:7, 18; 2658:7; 2659:18; 2680:1, 8, 14; 2681:4; 2682:3, 19; 2683:4; 2689:19; 2671:3, 10; 2678:18, 23 faurot [1] 2635:21 fax [1] 2681:1 fcc [9] 2683:5, 11, 20; 2664:10, 12, 18, 25; 2665:4; 2675:18 feasible [2] 2646:4, 14 feeder [1] 2680:9 feel [2] 2680:23; 2681:9 feet [8] 2638:20; 2638:2, 4; 2648:9, 10, 11 fell [1] 2688:25 felt [1] 2681:2 few [7] 2642:11; 2683:2; 2686:1; 2688:13; 2683:3; 2688:34; 2672:6</p>
---	--	---	--

<p>fiber [4] 2645:13; 2652:4, 16, 23 field [2] 2648:23; 2673:18 figure [2] 2663:21; 2665:16 figured [1] 2630:20 filed [8] 2630:10; 2664:15, 17, 24, 26; 2665:2, 5, 6 files [4] 2653:5; 2654:10, 12, 16 filing [1] 2671:8 fill [2] 2679:3, 4 find [4] 2640:9; 2644:10; 2657:9; 2675:3 first [14] 2645:7; 2649:25; 2654:14; 2658:7; 2659:15, 21, 22; 2660:16; 2661:3; 2665:11; 2671:19; 2673:5; 2676:17; 2678:16 firsthand [1] 2666:7 five [5] 2641:5; 2668:1, 2; 2661:19; 2662:9 florida [7] 2635:1, 7, 20; 2646:7; 2649:20; 2665:5; 2669:15 florida-specific [2] 2649:23; 2669:13 focus [1] 2649:17 focusing [1] 2663:8 folks [2] 2650:19; 2651:3 follow [1] 2655:14 follows [1] 2638:2 fons [3] 2636:5; 2638:6; 2642:1 foot [1] 2639:13 forget [1] 2679:25 formality [1] 2650:22 formed [1] 2642:15 formidable [1] 2651:6 formulas [1] 2670:19 forth [9] 2640:6; 2644:17; 2645:16; 2647:9; 2650:20; 2651:14; 2654:5; 2655:18; 2670:22 forum [2] 2644:22; 2648:10 forums [2] 2648:16; 2650:5 frame [1] 2669:25 frames [1] 2645:9 freight [1] 2664:20 from [27] 2638:3, 4; 2639:2, 10; 2648:3; 2650:19; 2651:10; 2654:21; 2655:10, 20; 2656:18, 19; 2657:14; 2660:14; 2662:21; 2663:11; 2664:1, 3; 2666:8; 2667:4, 5, 20, 21; 2668:23; 2671:10; 2674:22; 2678:21 front [2] 2651:21; 2659:8 full-blown [1] 2652:7 fund [2] 2679:17, 18 further [2] 2642:1; 2658:4 furthermore [1] 2660:2 future [1] 2679:19</p>	<p>geographic [1] 2660:10 geological [1] 2669:5 georgia [1] 2660:7 getting [6] 2639:5; 2651:19; 2654:9; 2679:22; 2671:23; 2677:7 give [5] 2638:18; 2639:1; 2645:17; 2660:6; 2662:5; 2668:4; 2670:4; 2680:6 given [4] 2638:10; 2639:14, 18; 2670:21 giving [1] 2645:18 glad [1] 2662:25 goes [1] 2673:4 going [25] 2639:3, 6; 2640:24, 25; 2641:1, 2, 3; 2645:14, 15; 2648:5, 9, 18; 2650:24; 2657:2; 2661:10; 2663:18; 2668:9; 2672:1; 2679:3, 12, 16; 2678:8; 2679:19; 2681:4; 2683:2 gold [1] 2660:19 gone [2] 2646:3; 2660:5; 2672:20 good [8] 2641:23; 2642:4; 2654:19; 2679:14; 2680:23; 2682:4 got [20] 2648:11; 2650:20; 2654:4; 2656:24; 2662:5; 2669:1; 2670:8, 20; 2672:3; 2673:1, 19; 2675:14; 2678:5, 6; 2679:20; 2679:8, 15; 2680:1, 14; 2682:7 great [2] 2659:10; 2660:11 grew [1] 2643:3 grids [1] 2649:15 ground [1] 2642:13 group [6] 2645:1, 11, 12; 2669:5, 15 growth [7] 2648:13; 2678:18, 19, 25; 2679:11, 19; 2680:14 gle [5] 2645:15; 2663:24; 2664:16; 2665:7, 15 gle's [3] 2666:13; 2677:23; 2680:5 guess [2] 2667:15; 2677:8 guidelines [2] 2648:9; 2662:25</p>	<p>16 here [15] 2641:8; 2650:9; 2653:1; 2654:2; 2656:9; 2658:12; 2659:2; 2660:2; 2663:19; 2664:9; 2665:17; 2679:5; 2672:4; 2678:16; 2679:14 haretore [1] 2635:23 high [3] 2654:18; 2665:14; 2678:10 higher [9] 2638:19; 2640:22; 2657:22; 2658:2; 2662:22; 2669:7, 11, 16 highest [7] 2641:3; 2673:24; 2674:3, 11, 17, 24; 2679:1 hip [1] 2662:5 hips [1] 2662:1 his [5] 2638:4; 2664:5; 2666:21; 2681:19; 2682:1 historically [1] 2679:12 homes [1] 2674:6 hope [1] 2662:23 horses [2] 2650:8; 2651:5 house [1] 2674:15 houses [4] 2672:10; 2674:13, 17, 22 housing [3] 2678:1, 6; 2681:1 hundreds [1] 2657:5</p>	<p>initially [1] 2660:17 input [10] 2639:24; 2641:21; 2642:21; 2643:2, 7, 12; 2644:10; 2645:5; 2646:5, 18, 23; 2651:10; 2658:10; 2663:8; 2664:11; 2665:3; 2672:22; 2673:20; 2677:25 inputs [12] 2642:16; 2647:6; 2649:17, 19; 2650:1, 25; 2651:17; 2663:9; 2665:21; 2670:3, 4, 5 inside [9] 2674:12; 2675:1, 7, 9, 10, 12, 17, 24; 2678:6 installation [1] 2678:22 installing [1] 2664:2 instance [2] 2639:2; 2648:10 into [10] 2642:16; 2645:23; 2646:5, 15; 2652:12; 2658:14; 2670:20; 2680:13; 2682:20, 25 invalid [1] 2641:10 lan's [3] 2639:16; 2640:9; 2658:9 leau [2] 2662:14; 2664:8 lem [1] 2666:3 lema [3] 2638:10; 2664:1; 2668:17 leatf [1] 2675:22</p>
- G -	- H -	- I -	- J -
<p>g [1] 2638:1 garcia [1] 2635:15 gather [2] 2648:2; 2650:14 gathered [4] 2641:22; 2645:5; 2653:8; 2662:2 gave [1] 2658:2 generally [2] 2668:5; 2674:14 generated [1] 2653:18 generating [1] 2653:18</p>	<p>hai [4] 2642:25; 2649:1; 2663:8; 2665:3 half [1] 2673:18 hand [1] 2679:11 handbook [9] 2646:23; 2647:8, 12, 18; 2648:2, 11, 15, 24; 2649:5 handle [2] 2679:10, 22 hang [1] 2673:7 happen [3] 2645:18; 2648:9, 18 happened [1] 2635:1 happens [1] 2674:30 hatfield [16] 2640:14; 2642:17, 26; 2643:16; 2651:17; 2653:12; 2661:24; 2662:8, 22; 2663:6; 2665:18; 2668:25; 2671:5, 11, 18; 2673:24 haven't [2] 2659:20; 2660:3, 4 having [4] 2661:10; 2666:5; 2669:5; 2673:11 hear [2] 2668:2; 2669:1 heard [1] 2678:9 hearing [1] 2635:13 held [1] 2665:17 help [1] 2645:18 henry [5] 2638:8; 2661:13, 16; 2662:13,</p>	<p>I'm [2] 2666:25; 2682:11 I'm [30] 2638:24; 2640:9; 2642:8; 2644:2; 2645:20; 2647:10, 23; 2648:18; 2649:12, 13; 2651:11; 2652:17; 2658:15, 18; 2662:25; 2663:8; 2664:14; 2669:11; 2669:20; 2670:7; 2671:8, 22; 2673:2; 2674:19, 21; 2678:22; 2679:20; 2680:6; 2682:5 I've [3] 2648:25; 2662:5; 2668:21 idea [2] 2662:20; 2664:23 identification [3] 2676:25; 2677:15, 19 identified [1] 2677:1 inc [10] 2644:21; 2648:12; 2650:12, 15; 2663:15, 20; 2668:7, 15; 2672:22; 2673:20 leca [12] 2638:7; 2648:19; 2649:3, 6; 2650:9; 2651:13; 2663:21; 2678:1, 4; 2679:11; 2681:20, 25 illustrate [1] 2663:14 impact [2] 2661:6, 7 important [2] 2639:6; 2658:24 improvement [1] 2642:23 inappropriate [1] 2644:8 includes [1] 2675:21 inconsistency [1] 2666:10 inconsistent [1] 2666:3 incorrect [1] 2658:11 increase [2] 2669:10; 2681:1 incremental [1] 2660:21 incur [1] 2675:11 indeed [6] 2651:7, 14, 15; 2663:10; 2673:20 independent [1] 2648:5 inefficiency [2] 2678:10, 13 information [20] 2650:12, 14; 2651:19; 2653:8, 22; 2654:1, 9, 10, 13, 18, 24; 2655:20, 23; 2666:3, 24; 2669:23; 2662:2; 2663:24; 2666:2; 2669:9 initial [1] 2660:13</p>	<p>J [1] 2635:14 jacobs [1] 2635:16 james [2] 2636:4; 2639:3 jane [1] 2635:21 january [8] 2659:23, 25; 2660:14; 2661:8, 20 job [6] 2638:23; 2639:22; 2640:2, 3; 2657:1, 11 jobs [2] 2638:14; 2639:8 joe [3] 2635:19; 2654:20 john [4] 2654:20; 2660:17; 2661:21; 2670:4 johnson [12] 2635:14; 2678:13, 16, 24; 2677:13, 17; 2681:11, 14; 2682:16, 18, 23; 2683:1 joined [4] 2642:14; 2643:16, 20; 2653:11 joining [1] 2668:13 judgment [2] 2648:10; 2650:25; 2655:19 julia [1] 2635:14 june [7] 2643:23, 25; 2644:2, 3, 4; 2655:5 just [27] 2638:24; 2642:11; 2645:23; 2647:23; 2648:8; 2649:13; 2650:17, 18; 2652:18; 2659:13; 2660:3, 5; 2661:2; 2662:4, 9; 2663:21; 2670:12; 2673:1, 22; 2674:16, 18, 21; 2678:14; 2680:6, 23; 2682:11, 13 justification [1] 2660:17 jww-2 [1] 2664:14 jww-3 [1] 2660:1 jww-7 [1] 2677:2</p>
- K -	- K -	- K -	- K -
<p>kind [8] 2648:2; 2652:8, 25; 2653:25; 2660:3; 2661:6</p>			

king's [4] 2030:9; 2031:4, 5
 knew [3] 2033:20, 21; 2036:15
 knowing [1] 2033:9
 knowledge [7] 2043:9; 2053:19;
 2063:17, 22; 2068:7, 17, 20

- L -

labor [9] 2047:9; 2064:2, 16; 2066:22;
 2067:5, 11; 2068:11, 14, 23
 large [13] 2038:14, 22; 2039:9, 13, 19;
 2040:3; 2052:22; 2058:21; 2059:25;
 2057:11, 21; 2068:3, 7
 larger [1] 2061:5
 least [2] 2073:22; 2080:2
 late-filed [5] 2077:2, 4, 9, 11, 15
 later [3] 2070:11, 17, 21
 lawn [1] 2079:24
 lead [2] 2055:10; 2065:3
 leader [2] 2055:24; 2068:19
 least [10] 2040:24, 26; 2041:2, 12;
 2048:8, 10, 18; 2057:2; 2068:1, 4;
 2061:8, 10; 2062:14, 23; 2068:19
 lec [1] 2050:17
 leca [2] 2050:19; 2052:23
 leon [1] 2035:16
 less [8] 2039:3; 2041:6; 2057:25;
 2063:1, 11; 2065:6
 let [10] 2039:21; 2042:18; 2044:7;
 2052:2; 2057:20; 2059:14; 2060:18;
 2064:12; 2066:22; 2073:22
 let's [6] 2048:17; 2064:1; 2067:17;
 2067:3; 2068:24; 2073:23
 letter [8] 2068:4, 17, 20, 21; 2058:6;
 2061:9
 letters [3] 2055:11, 18; 2057:9
 level [1] 2054:18
 like [8] 2048:8; 2048:11; 2050:24;
 2053:4; 2055:18; 2063:3; 2078:16, 22
 limitations [2] 2049:2, 10
 limited [1] 2054:18
 line [5] 2040:8, 12; 2073:8, 9; 2078:19
 lines [4] 2072:19; 2073:11; 2074:4;
 2079:8
 list [8] 2040:10; 2041:20; 2047:4;
 2072:3; 2079:25
 little [3] 2072:8; 2078:9; 2080:21
 living [2] 2048:14; 2061:4
 local [10] 2035:9; 2049:2; 2052:1, 5, 6,
 7, 13, 15; 2060:20; 2061:6
 located [1] 2055:16
 location [1] 2035:19
 locations [2] 2072:12, 13
 longer [2] 2050:13; 2052:17
 look [8] 2040:12; 2048:7; 2054:4;
 2059:12; 2061:16; 2069:14; 2082:4
 looked [3] 2048:25; 2047:9; 2071:1
 looking [7] 2052:3, 6; 2054:16;
 2056:17; 2069:19; 2062:13, 15
 loop [5] 2052:5, 6, 7; 2060:20; 2061:6
 loose [2] 2055:12, 23
 loss [1] 2049:3
 lost [1] 2068:21
 lot [6] 2042:22; 2050:8; 2074:11;
 2078:5, 6

low [2] 2041:12; 2078:9
 lowball [5] 2040:17, 19; 2041:13, 15, 18
 lower [5] 2038:1; 2040:17; 2041:17;
 2061:17, 19
 lowest [1] 2041:17
 lucent [2] 2048:6, 16

- M -

m [1] 2035:18
 madam [1] 2082:13
 made [11] 2042:12; 2048:4; 2049:18;
 2050:17; 2064:4; 2065:21; 2071:3, 10,
 12; 2074:10, 24
 maintain [1] 2053:7
 make [11] 2049:18, 20; 2057:23;
 2069:18; 2070:6, 10, 14, 15, 21, 23;
 2076:3
 making [3] 2047:18; 2070:16; 2072:1
 manholes [1] 2075:14
 manner [1] 2068:13
 many [2] 2061:17
 mark [1] 2078:24
 marked [4] 2078:18, 25; 2077:15, 19
 market [2] 2052:11, 13
 master [1] 2039:7
 material [8] 2064:1, 15, 19; 2065:22;
 2067:20; 2068:2, 22; 2075:22
 math [2] 2040:23; 2062:19
 matter [1] 2035:4
 may [4] 2058:9; 2061:9; 2064:13;
 2068:19
 mc [3] 2042:6; 2045:13; 2077:4
 mean [4] 2038:13; 2041:10; 2049:10;
 2071:19
 means [1] 2047:9
 meetings [1] 2053:24
 melson [1] 2077:6
 member [5] 2043:4, 6; 2053:13;
 2055:16; 2067:24
 members [3] 2048:24; 2048:2; 2055:13
 memo [3] 2070:16, 24; 2071:9
 men [2] 2050:8; 2051:8
 mentioned [3] 2046:23; 2060:12;
 2065:16
 methodology [1] 2070:1
 might [3] 2068:8, 9; 2077:8
 mile [1] 2074:5
 mileage [1] 2060:9
 miles [1] 2060:7
 minor [1] 2072:1
 minutes [5] 2038:1; 2060:13; 2063:4;
 2068:24; 2072:7
 miscellaneous [1] 2064:19
 mitchell [7] 2036:6; 2042:3, 4, 7;
 2060:25; 2078:12; 2081:17
 mix [1] 2073:23
 model [50] 2038:15; 2040:24; 2041:12;
 2042:17, 19; 2043:1, 10, 12; 2044:22;
 2045:10, 14; 2048:9; 2048:17; 2049:22,
 25; 2053:12; 2067:3; 2068:4; 2061:15,
 24; 2062:8, 22, 24, 25; 2063:6;
 2065:17; 2068:29; 2069:1, 16, 25;
 2070:3, 13, 15, 18; 2071:5, 11, 18;
 2072:21; 2073:17, 24; 2075:7, 23, 25;

2078:22, 24; 2079:2, 13, 21, 22;
 2080:24
 modeled [2] 2078:11, 15; 2081:3
 modelers [1] 2047:21
 modelling [3] 2074:8, 24; 2078:8
 models [4] 2048:9; 2078:17; 2081:8, 20
 months [1] 2050:20
 more [18] 2044:20, 23; 2045:20;
 2049:14; 2061:6, 11, 12, 16; 2063:12;
 2064:10; 2065:6; 2066:11; 2068:11;
 2079:9; 2081:6
 most [9] 2048:8, 16; 2059:1; 2062:21;
 2068:12; 2073:3; 2074:25; 2075:8, 24
 move [4] 2068:22; 2067:3; 2082:14, 16
 moves [1] 2082:22
 much [4] 2051:4; 2054:22; 2063:11;
 2061:12
 multiple [2] 2054:15; 2064:8
 multipliers [1] 2068:10
 multipliers [3] 2069:1, 20; 2071:4
 my [37] 2042:12, 14, 19; 2043:9, 15;
 2048:8; 2047:17, 25; 2048:2; 2061:3,
 14, 23; 2062:5; 2064:10; 2068:6;
 2068:21; 2069:10, 21; 2061:2, 23;
 2062:11; 2064:14, 17; 2066:3, 13, 15;
 2067:13, 23; 2068:12, 25; 2072:8;
 2078:16, 20; 2079:9, 15; 2080:18;
 2082:1

- N -

n [2] 2038:1; 2038:1
 name [2] 2038:3; 2042:6
 names [1] 2038:9
 national [2] 2049:22; 2069:13
 near [1] 2064:16
 need [11] 2042:23; 2046:7; 2048:18;
 2050:13; 2061:22; 2065:19; 2070:4,
 17; 2076:2; 2077:6, 14
 needed [2] 2044:16; 2070:3
 negotiate [1] 2068:9
 neighborhood [1] 2064:10
 network [8] 2038:17; 2047:6; 2052:1,
 20, 25; 2067:4; 2080:20
 networks [2] 2052:3; 2053:22
 never [4] 2052:6, 18; 2054:5; 2071:16
 new [2] 2050:19; 2073:14
 nid [1] 2057:8
 nids [2] 2057:6; 2079:22
 node [8] 2038:16; 2039:4, 10; 2067:3;
 2072:7, 9, 11; 2073:16
 nondisclosure [1] 2046:11
 nor [2] 2045:10, 11; 2079:9
 normal [1] 2040:10
 north [1] 2059:22
 noted [1] 2035:23
 notes [1] 2047:8
 nothing [2] 2047:25; 2050:6
 nowadays [1] 2061:13
 number [30] 2037:2; 2040:5, 8, 13, 14,
 17, 19, 20, 22; 2041:1, 5, 11, 14, 15,
 23; 2047:8; 2054:17; 2056:9; 2058:2,
 3, 22, 23; 2063:9, 10, 16, 20, 25;
 2065:8, 12, 13; 2068:18; 2078:20;
 2077:4, 10, 16; 2079:6; 2082:17

numbers [1] 2044:19; 2048:13;
 2049:21; 2050:21; 2051:18; 2058:4, 12,
 13; 2061:12; 2070:10; 2071:21
 nymex [1] 2054:21

- O -

o [1] 2038:1
 oath [2] 2038:4; 2065:25
 objection [2] 2062:19, 24
 obtain [5] 2058:20, 22, 23; 2060:19;
 2061:5
 obtained [2] 2039:10; 2041:14
 october [1] 2035:17
 off [2] 2075:4; 2078:24
 oh [2] 2040:23; 2061:3
 okay [31] 2040:4; 2042:20; 2043:11;
 2048:13; 2050:10; 2052:5; 2056:12;
 2057:12; 2068:1; 2069:9; 2069:10;
 2061:3; 2064:14, 18; 2065:4, 18;
 2068:22; 2069:17; 2070:7, 24; 2074:7;
 2075:2, 9; 2077:8, 17; 2078:3, 19;
 2079:11; 2081:14, 22; 2082:15
 old [1] 2048:13
 one [20] 2038:11, 18; 2041:4; 2054:11,
 23; 2058:7, 8, 20, 23; 2067:5; 2068:4;
 2067:4, 20; 2073:22; 2078:15, 17;
 2077:3; 2081:13; 2082:9
 onesies [1] 2039:8
 only [9] 2047:18; 2061:3, 21; 2062:8;
 2061:2; 2064:18; 2065:6, 19; 2072:18
 onto [1] 2051:23
 opinion [8] 2041:24; 2048:22; 2050:7,
 17; 2061:3; 2079:8, 15
 opposed [1] 2068:20
 organization [2] 2053:10; 2055:3
 original [4] 2043:7; 2071:20, 21; 2072:3
 other [17] 2045:3; 2046:24; 2047:9;
 2051:3; 2054:16; 2064:8, 23; 2065:15;
 2079:11, 14; 2082:3, 8
 our [17] 2046:13; 2050:7, 21; 2051:15;
 2054:2; 2058:3, 4; 2061:12; 2062:16;
 2065:11; 2079:3, 4
 ours [1] 2060:1
 out [31] 2040:9; 2042:19, 20, 2043:3,
 10, 11; 2045:10; 2047:20; 2048:18;
 2049:11; 2050:1, 13, 20; 2061:25;
 2062:8; 2065:11; 2066:21; 2069:9;
 2063:21; 2064:9; 2068:8, 17; 2070:14,
 19, 21; 2071:24; 2072:5; 2073:15, 19;
 2078:20; 2079:6
 outputs [2] 2049:23; 2068:14
 outside [17] 2042:15, 23; 2043:1, 2, 14;
 2044:9; 2047:7, 14; 2048:22; 2049:21;
 2051:1; 2052:8; 2053:11; 2065:18, 24;
 2066:17; 2069:18
 over [4] 2042:13; 2050:9; 2051:9;
 2063:18
 overall [1] 2061:3
 overcoat [1] 2078:25

- P -

p [4] 2035:18; 2038:1; 2068:9, 11

page [4] 2636:3; 2640:8, 10; 2666:14
 pages [3] 2636:11; 2663:5; 2671:7
 pair [4] 2648:14; 2679:21; 2681:4
 pairs [5] 2676:5; 2678:8, 16; 2680:16;
 2681:1
 par [1] 2680:5
 paragraph [2] 2680:24, 26
 part [8] 2659:1; 2667:24; 2670:13;
 2671:20, 24; 2673:3
 particular [3] 2640:8; 2647:3; 2666:20;
 2662:14; 2664:16
 particularly [3] 2661:12; 2661:17;
 2674:25
 parts [1] 2647:18
 party [1] 2661:20
 past [1] 2668:18
 pay [2] 2680:21; 2682:4
 paying [1] 2646:19
 people [3] 2642:14; 2660:9; 2663:7
 per [8] 2639:12; 2648:14; 2657:23;
 2674:4; 2678:1, 6; 2681:1, 4
 percent [10] 2640:18, 17; 2673:17;
 2678:7, 12; 2680:11, 16, 18, 19
 personal [1] 2661:24
 perspective [2] 2643:8; 2657:18
 pertain [1] 2661:25
 phone [1] 2638:11
 phonetic [1] 2654:20
 physically [1] 2674:20
 pile [1] 2668:22
 planning [3] 2662:12; 2663:23; 2664:18
 plant [24] 2642:15, 24; 2643:1, 2, 14;
 2644:9; 2647:7, 14; 2648:11, 23;
 2649:21; 2651:1; 2652:9; 2661:19;
 2665:26; 2666:17; 2668:18; 2672:15;
 2673:23, 26; 2674:1, 9; 2679:7;
 2680:18
 plating [1] 2680:20
 please [3] 2660:3; 2667:20; 2668:22
 plenty [1] 2680:1
 plow [1] 2642:12
 point [24] 2640:23; 2646:18; 2647:20;
 2648:8; 2651:24; 2652:14, 17, 19;
 2656:16; 2661:23; 2662:18; 2663:14;
 2664:23; 2665:9, 11; 2669:17; 2672:5;
 2679:1; 2680:2, 12; 2681:21, 23;
 2682:3, 5
 point-to-point [1] 2652:3
 points [1] 2642:11
 pole [18] 2638:19; 2657:25; 2668:3;
 2664:2, 19; 2665:22; 2666:4, 10, 12,
 14; 2672:19, 20, 24; 2673:2, 7, 8, 16;
 2675:9; 2678:2
 poles [28] 2667:25; 2668:1, 2; 2663:3,
 5; 2668:2, 5, 6, 8, 9, 10, 13; 2672:22;
 2673:4, 11, 18, 19; 2674:1, 9, 23;
 2675:23; 2676:3, 4, 5, 11; 2682:9, 10
 policymaking [1] 2662:18
 portfolio [4] 2647:6; 2661:17, 20;
 2665:21
 portions [1] 2648:1
 possible [1] 2645:21
 possibly [1] 2663:2
 power [10] 2672:17, 19, 25; 2673:1, 4,
 6, 7, 11, 13, 19
 practice [2] 2680:19; 2680:23

preceded [1] 2643:9
 precise [1] 2664:13
 preliminary [1] 2647:12
 prepared [2] 2663:23; 2681:11
 present [2] 2661:8; 2666:14
 presume [1] 2659:7
 pretty [2] 2642:21, 24
 previous [1] 2661:18
 price [11] 2640:1; 2645:18, 23, 26;
 2648:7, 12, 16; 2657:4, 5, 6; 2668:4
 printout [1] 2660:14
 prior [3] 2648:14; 2661:24; 2663:14;
 2665:11; 2668:13
 probably [8] 2664:19; 2669:25; 2676:8,
 9, 10
 procedure [1] 2655:13
 proceeding [3] 2669:15; 2678:4;
 2679:20
 proceedings [2] 2635:13; 2660:24
 process [11] 2645:3; 2648:3; 2655:13;
 2668:1; 2669:24; 2670:8, 10, 23;
 2671:25; 2677:7; 2679:3
 procure [1] 2668:5
 produce [1] 2648:23
 production [1] 2678:20
 project [2] 2639:21; 2655:21
 projects [2] 2639:9; 2654:17
 promise [1] 2642:12
 proper [1] 2667:17
 proposal [1] 2654:19
 proposing [1] 2661:9
 protect [1] 2661:22
 protectors [1] 2679:23
 prove [1] 2666:15
 proved [1] 2641:13
 provide [1] 2660:20
 provided [3] 2647:4; 2663:28; 2677:9
 provides [1] 2669:5
 providing [1] 2678:18
 proxy [1] 2680:24
 public [4] 2638:1; 2644:21; 2645:18;
 2646:8
 publicly [1] 2662:6
 published [1] 2647:18
 puff [1] 2666:22
 pulling [2] 2667:4, 20
 purpose [11] 2639:24; 2640:18;
 2658:8, 18, 21; 2660:19; 2661:5, 12;
 2662:17; 2663:9; 2669:4
 purposes [9] 2639:8; 2653:23;
 2654:19; 2663:7; 2664:8, 24; 2670:2;
 2675:5, 20
 pursuant [1] 2635:5
 put [12] 2648:14; 2649:10, 15; 2657:17,
 24, 28; 2670:8; 2675:9, 10, 11, 12;
 2676:4
 puts [1] 2643:4
 putting [3] 2663:23; 2667:8; 2676:3, 4

- Q -

q [126] 2638:7, 13, 21; 2639:12, 18, 19;
 2640:1, 5, 9, 13, 21; 2641:7, 9, 15, 20,
 24; 2642:4, 7, 9, 11; 2643:5, 15, 18, 21,
 24; 2644:1, 3, 6, 13; 2645:2, 6; 2646:1,

17, 22; 2647:2, 11, 17, 22, 25; 2648:22;
 2649:3, 16; 2650:2, 23; 2651:9, 17, 23;
 2652:8, 12, 15, 24; 2653:3, 7, 11, 16,
 24; 2654:9; 2655:2, 5, 9, 25; 2656:17,
 24; 2657:8, 13, 18, 23; 2658:7, 14, 17,
 19; 2659:5, 10, 12, 14, 19, 25; 2660:12,
 23; 2661:2, 4, 23; 2662:8, 10, 19;
 2663:3, 23; 2664:5; 2665:18, 21, 24;
 2666:4, 8, 18, 22, 24; 2667:1, 3, 8, 10,
 17, 20; 2668:18, 20, 22; 2669:4, 17;
 2670:8, 16, 24; 2671:9, 14, 16, 18, 22;
 2672:8, 14, 19, 25; 2673:8, 10, 22;
 2674:3, 8, 13, 16, 21; 2677:22; 2678:4,
 8, 14; 2680:25; 2681:5, 17, 22, 24
 qualifying [1] 2680:9
 quantification [1] 2661:7
 quantities [1] 2668:7
 quantify [1] 2638:25
 question [13] 2647:25; 2654:10;
 2657:20; 2658:5; 2660:5; 2667:14;
 2668:21; 2678:15; 2677:4; 2681:13;
 2682:1
 questions [1] 2642:1
 quickly [2] 2642:21, 24
 quite [2] 2665:13; 2680:4
 quote [12] 2639:3, 22; 2640:1; 2668:3;
 2667:4, 8, 20, 21; 2668:23; 2670:10,
 23; 2675:18
 quotes [14] 2641:8, 7, 16; 2656:1, 10;
 2658:9, 22, 23; 2661:17, 19; 2666:1,
 20, 21, 23

- R -

r [1] 2638:1
 raise [1] 2667:14
 random [1] 2658:9
 range [10] 2640:18; 2649:11; 2658:24,
 25; 2659:2; 2661:10; 2662:14, 16, 17;
 2666:10
 ratepayers [1] 2678:18
 reach [1] 2670:11
 reached [2] 2644:11; 2645:7
 read [5] 2651:17; 2660:15; 2661:2;
 2666:25; 2667:2
 readily [1] 2638:11
 reading [2] 2660:21; 2664:3
 ready [1] 2671:23
 real [1] 2639:22
 realistic [1] 2660:12
 reality [1] 2673:3
 realized [2] 2642:21, 24
 really [1] 2676:14
 reason [2] 2660:13; 2668:1
 reasonable [18] 2641:1, 5, 14; 2644:19;
 2646:13, 18; 2650:22; 2651:7, 15, 16;
 2654:9; 2656:4, 13; 2660:10; 2661:13;
 2662:10; 2665:12; 2668:16, 18
 reasonably [2] 2640:18; 2644:24
 reasons [2] 2669:6; 2661:14
 rebuilding [1] 2638:18
 rebuttal [5] 2610:10; 2663:13; 2664:3;
 2677:24
 recall [3] 2661:20; 2660:21; 2670:17
 received [3] 2666:2; 2682:20, 25

recently [1] 2654:21
 recollection [2] 2662:7, 11; 2671:20
 recommended [2] 2677:25; 2678:5
 reconcile [1] 2665:9
 reconvene [1] 2663:3
 record [1] 2670:24
 records [1] 2653:8
 redirect [3] 2636:8; 2661:12, 15
 reduced [2] 2678:2, 9
 reference [4] 2648:8; 2663:4, 13;
 2680:7
 referenced [3] 2646:24; 2647:8;
 2648:24
 references [1] 2648:25
 referencing [1] 2664:14
 referred [1] 2647:11
 referring [2] 2647:2; 2660:5
 reflected [2] 2653:17; 2666:1
 reflects [5] 2668:3, 12; 2667:8; 2671:3;
 2672:23
 regard [1] 2678:10
 regulatory [1] 2642:22
 related [1] 2672:7
 relating [1] 2663:5
 release [1] 2669:25
 relevant [1] 2662:13
 relief [1] 2640:9
 remain [2] 2672:12, 13
 remember [2] 2648:25; 2653:20
 replacing [1] 2657:4
 reported [3] 2635:21; 2640:2; 2664:9
 reporting [1] 2675:19
 representative [1] 2667:25
 represented [1] 2667:14
 representing [1] 2642:5
 request [8] 2639:11, 14, 18, 22;
 2663:29; 2665:1, 2; 2676:20
 required [1] 2645:9
 residential [1] 2678:1
 resources [4] 2645:10, 22; 2646:4, 15
 respect [3] 2647:13; 2655:14; 2664:1
 responded [2] 2638:10; 2639:12
 response [4] 2656:19; 2663:25;
 2667:21; 2676:19
 responses [2] 2640:22; 2664:1
 rest [1] 2679:25
 result [1] 2665:18
 retired [1] 2654:21
 retirement [2] 2643:23; 2644:2
 review [1] 2659:21
 reviewed [1] 2671:7
 right [31] 2639:20; 2640:13; 2642:17;
 2643:8, 16, 22; 2646:1, 3; 2648:4, 5;
 2649:25; 2660:1; 2662:1, 2; 2664:8;
 2665:9; 2667:8, 22; 2669:25; 2663:6;
 2664:11; 2666:8, 11, 16; 2669:2;
 2672:15; 2673:8, 8, 12; 2674:1;
 2681:18
 ring [1] 2652:4
 rings [1] 2662:18
 riote [1] 2654:20
 roll [2] 2645:9; 2671:23
 room [1] 2642:23
 round [1] 2678:8
 routinely [1] 2660:10
 rpr [1] 2635:21

<p>rs [1] 2617:9 run [4] 2670:20; 2679:4; 2680:13; 2681:8 rural [1] 2640:11</p> <p>- S -</p> <p>s [2] 2638:1; 2680:6 sail [12] 2648:25; 2649:21, 26; 2654:3; 2662:25; 2664:7; 2669:12; 2675:8, 19; 2678:8, 11 same [7] 2639:14, 18; 2660:6; 2666:1, 2; 2672:12, 13 sanity [1] 2654:23 saw [1] 2659:23 say [27] 2641:4; 2645:14; 2646:8, 13; 2647:2, 18, 20, 23; 2648:14; 2650:18, 23; 2651:13; 2653:25; 2658:19; 2659:2; 2662:9; 2668:6, 20, 23; 2669:4; 2672:8; 2673:9; 2678:13; 2679:1, 4; 2679:9; 2682:10 saying [7] 2648:25; 2649:13; 2664:11; 2673:2, 14; 2679:17 says [14] 2640:16; 2641:11; 2648:12; 2650:17; 2663:17; 2665:7, 10, 15, 21; 2666:21, 24; 2667:1; 2673:20; 2679:5 scale [18] 2638:14, 17, 22; 2639:5, 8, 13, 19; 2640:3; 2666:21; 2667:1, 7, 11, 21, 24; 2662:15; 2664:9; 2668:3; 2682:11 scales [1] 2639:1 scare [2] 2679:23, 25 scene [1] 2643:13 scorched [13] 2638:18; 2639:4, 10; 2657:3; 2672:7, 9, 10, 11, 15, 18; 2673:11, 13, 15 search [1] 2656:22 second [9] 2641:17; 2663:14; 2664:12; 2674:3, 17; 2676:20; 2677:1; 2678:19; 2679:1 secondly [1] 2666:13 section [3] 2635:8; 2661:18, 20 see [7] 2648:11; 2656:11, 22; 2660:22; 2661:4, 14; 2676:22 seeing [1] 2655:18 seem [2] 2656:20; 2659:13; 2662:8 seems [1] 2672:2 seen [8] 2656:21; 2659:16; 2664:5; 2669:22; 2671:24 selection [1] 2656:14 sent [2] 2655:11; 2656:4 sentence [2] 2660:10; 2661:3 separately [1] 2665:13 sequence [1] 2683:4 sequences [1] 2638:2 serve [2] 2652:21; 2663:7 served [1] 2675:4 service [8] 2635:1, 8; 2648:8; 2662:15; 2679:17; 2681:2 serving [3] 2648:23; 2649:4, 9 set [10] 2638:18; 2640:6; 2642:16; 2668:4, 6, 8, 12, 14; 2673:2, 18 sets [1] 2673:4 setting [2] 2682:9, 10 several [2] 2648:25; 2659:20</p>	<p>sharing [3] 2672:8, 22, 24 shipped [1] 2668:10 short [1] 2674:23 should [18] 2639:14, 18; 2649:24; 2654:5; 2655:13, 14; 2662:11; 2663:2; 2666:11; 2668:18; 2679:2, 9, 17; 2679:13, 16, 18; 2680:10, 12 shouldn't [1] 2676:7 show [11] 2640:18; 2644:18; 2650:21; 2651:6; 2658:8, 13, 34; 2662:4; 2682:18, 23 shown [1] 2659:7 shows [2] 2663:18, 19 shrubs [1] 2679:26 shut [1] 2655:3 sic [1] 2662:19 side [2] 2678:9, 10 side-by-side [2] 2664:8, 25 sidewalk [1] 2679:24 signed [1] 2644:22 significant [2] 2672:23; 2679:18 simply [1] 2658:13 since [8] 2647:11, 16; 2659:25; 2667:12; 2671:12 single [2] 2663:20; 2679:4 single-family [1] 2674:6 single-unit [1] 2678:3 sir [1] 2683:1 sit [2] 2662:8; 2672:4 sitting [1] 2671:25 situation [1] 2680:14 six [1] 2641:8 slightly [1] 2668:5 small [2] 2639:8; 2640:2 solely [1] 2650:25 solicit [1] 2663:4 some [22] 2642:18; 2643:3; 2646:22; 2650:21; 2651:18; 2654:17; 2658:3; 2657:9; 2659:13; 2663:19; 2665:4; 2669:17, 20; 2670:4, 8, 15, 20; 2672:17; 2675:3; 2679:11; 2682:14 somebody [3] 2639:18; 2673:2; 2678:23 something [11] 2640:28; 2642:20; 2643:11; 2644:8; 2661:1; 2665:8; 2670:8, 19; 2677:23 somewhere [3] 2653:17; 2655:7; 2664:10 sorry [3] 2642:8; 2644:2; 2658:15, 18; 2668:20 source [2] 2647:13; 2656:12 sources [1] 2661:22 south [2] 2667:24; 2668:6 spare [3] 2648:18; 2678:12; 2679:2, 8, 15, 18; 2680:19; 2681:6 speak [1] 2680:2 specific [5] 2649:18, 20; 2652:2; 2660:24, 25 specifically [3] 2653:20; 2661:24; 2666:5 specifications [1] 2668:8 spend [1] 2660:10 spent [1] 2668:6 sponsoring [3] 2649:7, 8; 2650:24 spreadsheet [1] 2658:13 sprint [3] 2645:24; 2664:25; 2665:5</p>	<p>square [1] 2674:5 staff [2] 2676:13; 2682:22 staff's [1] 2676:20 stamped [1] 2680:7 standard [3] 2648:20, 23; 2649:4 standards [4] 2648:14; 2649:1, 12; 2668:8 standpoint [1] 2678:21 start [7] 2670:5, 9, 13, 19, 20; 2678:19; 2678:24 started [2] 2659:7; 2681:18 starting [7] 2646:18; 2648:8; 2679:1; 2681:21, 23; 2682:3, 5 state [1] 2660:18 states [1] 2664:6 station [1] 2679:22 statutes [1] 2635:7 step [1] 2649:25 still [3] 2665:8, 7; 2677:6 stop [1] 2662:12 street [1] 2679:24 strike [1] 2668:23 structure [3] 2672:6; 2675:20, 23 study [1] 2660:8 stuff [2] 2647:21; 2659:19 subscriber [3] 2652:5; 2680:4, 8 subscribers [1] 2660:20 subsequent [1] 2650:11 substantially [1] 2641:17 such [1] 2678:23 sufficient [3] 2648:2; 2675:22; 2679:9 suggested [1] 2645:11 suggesting [1] 2645:20 summarizes [1] 2658:13 superior [1] 2663:22 superseded [6] 2647:16, 19; 2648:2, 24; 2649:1, 8 supplemental [1] 2676:19 supplier [1] 2645:13 support [1] 2644:10 sure [8] 2638:15; 2650:5; 2657:2; 2660:23; 2681:10 surface [7] 2669:1, 5, 7, 10, 14, 16, 20 surmise [1] 2658:18 surprised [1] 2668:15 survey [2] 2656:4; 2669:5 susan [1] 2635:15</p> <p>- T -</p> <p>t [17] 2643:18, 18, 21; 2645:12; 2648:23; 2647:12; 2648:2, 24; 2661:20; 2662:1, 5, 12, 22; 2663:3, 17; 2664:9, 12 t's [1] 2678:18 table [1] 2670:2 tactic [2] 2679:23; 2680:1 take [10] 2641:1, 2, 3, 12, 13, 18; 2662:19; 2666:8; 2669:13, 2679:4 takes [1] 2669:18 talk [4] 2663:3; 2665:24; 2672:6; 2673:23 talked [2] 2669:23; 2672:8 talking [7] 2647:10; 2651:18; 2653:1; 2671:2, 9, 12; 2681:24</p>	<p>talks [2] 2661:4; 2670:18 tallahassee [1] 2635:20 tardiff's [4] 2659:8; 2660:12; 2670:25; 2671:8 task [1] 2651:8 team [23] 2642:15; 2643:4, 6, 16, 18, 21; 2644:15, 18; 2646:12, 24; 2647:17; 2648:4; 2649:18; 2650:7; 2651:1, 19, 23; 2652:12, 14; 2655:13, 17; 2658:12, 26; 2665:18, 25; 2666:2, 13; 2669:18, 19; 2670:11, 22; 2671:20, 25 technical [1] 2648:23 technologies [1] 2646:8 technology [10] 2646:20; 2647:16; 2648:7, 10, 17; 2660:3, 14, 16; 2682:2 telecommunications [3] 2635:9; 2672:16; 2673:15 telephone [1] 2638:8 tell [7] 2650:3; 2653:12, 16; 2654:5; 2660:16; 2662:4; 2679:12 telling [5] 2645:21; 2648:16; 2653:20; 2668:11; 2670:4 ten [1] 2650:9 term [1] 2658:15 terms [3] 2648:16, 19; 2650:9, 14; 2681:11 terry [1] 2635:14 test [2] 2670:14, 15 testified [3] 2645:24; 2660:2, 4; 2665:25; 2667:7 testify [1] 2645:15 testimony [18] 2638:4; 2640:6; 2648:3; 2650:10; 2655:10; 2659:6; 2660:13; 2663:8, 14, 18, 24; 2664:5; 2665:17; 2666:21; 2677:24, 25 testing [1] 2670:3 textures [5] 2669:1, 6, 11, 14, 20 textures [1] 2669:7 thank [4] 2642:10; 2676:12; 2681:9; 2683:1 that's [24] 2639:5, 9, 11; 2640:9; 2641:24; 2646:7; 2647:20; 2648:18; 2651:2; 2652:12; 2656:5, 12, 16; 2657:23; 2658:3, 14; 2659:18; 2661:20, 23; 2662:17; 2665:15; 2670:18, 23; 2673:13; 2674:10; 2675:5, 15; 2676:12; 2677:18; 2679:1, 9, 13, 19; 2682:2 their [12] 2639:7, 23; 2648:19; 2654:10; 2661:11; 2664:1; 2665:4; 2666:18, 19; 2673:16; 2680:21; 2682:7 themselves [1] 2673:18 there [64] 2640:8; 2641:7, 20; 2642:10, 22; 2643:12, 18; 2645:10, 21, 22; 2646:22; 2647:5; 2648:18; 2649:11, 17; 2650:3, 9, 13; 2651:5; 2652:24; 2653:1, 18; 2654:8; 2655:7, 8, 12, 18; 2656:22, 23; 2658:11; 2659:2; 2661:4, 13, 28; 2663:9, 18, 19; 2664:7, 9; 2665:14; 2666:10; 2667:12; 2668:8; 2670:25; 2673:3, 15, 19; 2674:1, 5, 18, 17, 22; 2675:5; 2676:1; 2678:20; 2679:5, 16; 2680:2, 17; 2682:12 therefore [4] 2635:16; 2642:24; 2679:13; 2680:18 they've [1] 2648:11</p>
---	---	---	--

<p>thing [1] 2668:7 things [4] 2629:23; 2652:24; 2653:4; 2655:15 think [20] 2644:13, 14; 2653:19; 2655:7; 2656:14; 2660:3, 4, 13, 16; 2662:1; 2663:16; 2664:9; 2670:19; 2671:20; 2673:3; 2678:21; 2679:19; 2681:11, 17; 2682:13 third [1] 2651:19 those [17] 2647:6; 2648:4; 2648:12; 2653:12; 2656:2; 2656:19; 2658:3; 2661:25; 2664:25; 2668:10; 2669:4; 2670:10; 2674:8; 2678:20; 2676:2; 2682:18, 23 though [2] 2658:8; 2663:8 thought [3] 2673:10; 2674:16; 2678:9 thousand [1] 2660:7 three [3] 2649:9; 2650:9; 2679:21 through [8] 2635:11; 2652:20; 2656:6, 22; 2667:8; 2672:1; 2676:18; 2677:3; 2679:2 thursday [1] 2638:17 ties [1] 2656:16 time [24] 2635:18; 2642:19; 2648:9, 10, 12, 22; 2649:2, 4, 18; 2652:6, 10, 14, 17, 19; 2653:10; 2655:17; 2659:16, 22; 2660:10; 2667:25; 2668:25; 2670:22; 2678:17; 2677:5 times [1] 2649:25 till [1] 2678:23 today [8] 2647:7; 2648:16; 2653:1; 2655:2; 2663:19; 2664:9; 2665:17; 2682:4 together [6] 2648:18; 2653:23; 2656:16; 2667:6, 22; 2670:22 told [5] 2656:25; 2657:11, 15; 2665:4; 2666:14 tom [3] 2642:4, 7, 8 tomorrow [1] 2683:3 tone [1] 2660:20 took [5] 2641:14, 19; 2643:23; 2644:2; 2655:10 total [1] 2654:16 touched [1] 2650:2 touching [1] 2640:10 towards [1] 2659:1 traditionally [1] 2681:3 transcript [6] 2638:2; 2666:25; 2667:2; 2677:2, 11; 2682:4 trench [2] 2675:13 trenches [2] 2653:6; 2675:24 trenching [2] 2668:24; 2669:8 trigger [1] 2660:9 true [2] 2658:8; 2667:9 trust [1] 2657:24 truthful [1] 2667:15 try [3] 2644:10; 2653:4; 2674:23 trying [10] 2638:24; 2640:9; 2647:23; 2648:10, 19; 2669:11; 2670:8; 2674:19, 21; 2676:1 tuck's [1] 2664:3 turned [2] 2655:23 turning [1] 2658:12 tv [1] 2672:17 two [11] 2648:14; 2673:24; 2674:11, 24; 2678:16; 2678:8; 2679:21; 2680:3,</p>	<p>8, 25; 2681:3 two's [1] 2639:8 types [4] 2647:10; 2650:9; 2653:22; 2656:11 typical [1] 2660:9 typically [1] 2638:7 - U - u [1] 2660:5 uh [1] 2645:14 uh-huh [1] 2677:13 ultimate [2] 2678:25 unbundled [1] 2652:20 under [8] 2638:4; 2639:4; 2642:22; 2647:4; 2665:25 underground [1] 2678:13 understand [5] 2643:7; 2646:1; 2655:10; 2656:12; 2674:21 understanding [18] 2642:14; 2643:15; 2647:17; 2648:3; 2649:3; 2651:24; 2656:2, 8; 2660:3, 4, 16; 2667:13; 2668:25; 2669:23; 2672:9; 2678:4, 16; 2682:1 unit [5] 2648:14; 2678:1, 8; 2681:1, 4 universal [1] 2679:17 unquote [1] 2670:11 until [1] 2643:23 unused [1] 2678:18 up [22] 2643:7, 23; 2644:17; 2648:13; 2647:7; 2651:4, 21; 2656:17; 2658:10; 2659:7, 21; 2669:20; 2670:6, 10, 14, 15, 18, 21; 2671:3, 10, 12; 2679:24 use [16] 2639:7; 2644:21; 2645:14; 2648:13, 20; 2651:13; 2654:1; 2655:23; 2660:9; 2679:3, 6; 2681:19; 2682:5, 8, 9, 10 used [13] 2640:14; 2658:15; 2661:10, 12, 18, 20, 21; 2663:10, 13; 2670:9; 2679:12, 23; 2680:7 uses [2] 2661:9; 2665:17 using [5] 2649:19; 2669:3; 2682:24; 2680:16 utilities [1] 2672:16 utility [1] 2672:14 utilization [4] 2679:5, 7; 2680:15, 18 utilized [1] 2680:9 - V - vacuum [1] 2647:24 vague [1] 2671:25 valid [1] 2678:22 validate [3] 2641:22; 2650:13, 15 validated [1] 2668:3 validates [1] 2641:11 validating [6] 2640:5; 2648:19; 2658:10; 2661:12; 2663:6 validation [18] 2638:24; 2644:18; 2645:6; 2650:2, 3, 15, 21; 2651:10; 2655:9; 2655:8, 9, 19, 22; 2660:7; 2661:7 value [10] 2640:18; 2641:21; 2644:10, 11; 2682:19; 2684:11, 17; 2686:1;</p>	<p>2667:18; 2668:13 values [28] 2639:24; 2642:21; 2643:2, 8, 12; 2644:17; 2645:8; 2646:24; 2649:22; 2651:10, 13; 2657:13; 2658:20, 24; 2659:3; 2662:2, 21, 22; 2663:8; 2666:20; 2670:2, 12; 2671:3, 4, 10; 2672:1; 2677:25 varies [2] 2663:11, 18 various [1] 2676:18 vendor [11] 2648:23; 2654:19; 2656:18, 19; 2660:1; 2667:4, 8, 21; 2668:3, 23 vendors [8] 2651:20; 2655:14; 2658:4; 2667:10, 14 verify [1] 2660:9 version [2] 2661:25; 2662:8 versus [2] 2650:7, 17 very [3] 2639:8; 2660:21 violate [1] 2649:1 volume [5] 2635:10; 2637:1; 2638:2, 4; 2682:4 - W - walt [1] 2664:12 walk [1] 2645:23 want [12] 2638:18, 19, 20; 2639:9; 2642:11; 2644:9; 2657:4, 5, 6; 2668:23; 2672:8; 2673:7 washington [1] 2665:25 wasn't [8] 2645:10; 2646:14; 2647:23; 2648:5; 2652:15; 2656:19 way [9] 2635:20; 2644:9; 2645:3; 2646:8; 2648:17; 2649:15; 2667:18; 2668:10; 2669:12 we've [2] 2654:4; 2660:1 wealth [1] 2654:24 weight [1] 2651:4 wells [24] 2636:4; 2638:3; 2642:4; 2645:2; 2646:17; 2648:1; 2653:25; 2654:3; 2659:2; 2658:14; 2659:5, 15; 2663:4; 2666:22; 2667:1; 2668:25; 2671:1; 2673:23; 2678:14; 2677:3, 22; 2681:9, 10, 17 wells' [1] 2677:16 went [8] 2642:25; 2655:22; 2656:21; 2661:18; 2673:15 were [38] 2638:7; 2639:19; 2640:5; 2641:8, 7; 2643:13, 15, 21; 2644:19; 2645:9, 21; 2649:19; 2652:3, 8; 2653:13, 16, 18, 22; 2654:16; 2655:4, 8, 25; 2657:8, 10, 16; 2658:12; 2660:13; 2662:9, 10, 12, 24; 2664:2; 2666:13; 2671:21, 22; 2680:25 weren't [1] 2662:7 whatever [8] 2643:9; 2655:14, 20; 2658:23; 2664:20; 2665:8 when [27] 2641:18; 2642:14, 15; 2643:18, 24; 2647:2; 2651:12, 23; 2653:11; 2655:5; 2658:7; 2660:17; 2663:15; 2666:14; 2667:12, 23, 24, 25; 2670:14, 18, 20; 2671:21, 23; 2675:24; 2679:4; 2680:8; 2681:18 where [9] 2638:24, 25; 2640:9; 2650:11; 2653:15; 2657:3; 2662:16; 2680:14; 2682:10</p>	<p>whether [8] 2659:5; 2660:16; 2666:19; 2667:10, 15; 2671:5, 11; 2681:19 while [1] 2643:21 whole [1] 2640:18 wire [4] 2652:4, 22; 2672:12; 2674:22 wish [1] 2682:5 within [4] 2649:22; 2656:9; 2658:25; 2662:16 without [5] 2638:9; 2651:10; 2656:5; 2682:18, 23 witness [1] 2681:10 witnesses [1] 2636:2 won't [3] 2642:12; 2662:19; 2664:21 wood [3] 2644:7 word [3] 2661:9, 10, 21 words [3] 2670:8; 2679:14; 2682:3 work [12] 2638:8, 11, 25; 2643:1; 2647:12; 2648:22; 2650:1; 2653:3, 7, 18; 2654:2; 2669:18 worked [1] 2653:13 working [3] 2648:12, 14; 2653:13 worksheets [1] 2681:24 worth [2] 2652:19; 2661:22 would [100] 2638:16, 17, 19, 21; 2639:10; 2641:12, 18; 2644:8, 15, 16, 20, 23; 2645:16, 17, 19; 2646:2, 8, 17, 18; 2647:7, 11; 2648:7, 8, 14; 2649:7; 2650:3, 23; 2651:9; 2652:3, 10, 21, 24; 2653:16, 21; 2654:3, 4; 2655:5, 16, 18, 21; 2656:8, 22; 2657:13, 21, 22; 2658:1, 9; 2659:1; 2660:5, 8; 2662:5, 23, 24; 2663:3; 2665:3, 8; 2666:2, 6, 7, 11; 2667:17, 23; 2668:2, 12, 13, 14, 16, 18, 21; 2669:10; 2670:11; 2671:19, 24; 2673:16, 17; 2675:1, 4, 9, 10, 25; 2676:1, 2, 4, 16, 21, 22, 23; 2677:10, 14, 15; 2678:13, 17; 2679:11; 2681:1; 2682:16 wouldn't [4] 2640:21; 2648:11, 17; 2662:20 wrong [7] 2648:4, 20; 2649:13; 2650:19; 2656:9; 2676:9, 10 wrote [1] 2655:18 - X - x [1] 2636:1 - Y - yard [1] 2666:10 year [3] 2644:3, 4; 2659:24 yesterday [1] 2644:7 yet [2] 2654:9; 2660:3 york [1] 2660:20 you've [8] 2670:8, 20; 2675:14; 2678:5, 6; 2679:20; 2680:14; 2682:7 - Z - zone [3] 2674:4, 18; 2675:1 zones [5] 2673:24; 2674:11, 29; 2678:20; 2678:2</p>
--	---	--	--

1 CHAIRMAN JOHNSON: Thank you, sir. You are
2 excused. We are going to go ahead and adjourn for this
3 evening, and reconvene tomorrow at 9:00.

4 (Transcript continues in sequence with Volume
5 24.)

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25