


BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In Re: Petition by ITC^DeltaCom) DOCKET NO. 990750-TP
Communications, Inc. d/b/a ITC^DeltaCom)
for arbitration of certain unresolved)
issues in interconnection negotiations)
between ITC^DeltaCom and BellSouth)
Telecommunications, Inc.)
_____)



VOLUME 3
Pages 322 through 417

PROCEEDINGS: HEARING
BEFORE: COMMISSIONER SUSAN F. CLARK
COMMISSIONER E. LEON JACOBS, JR.
DATE: Wednesday, October 27, 1999
TIME: Commenced at 9:00 a.m.
PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida
REPORTED BY: NANCY S. METZKE, RPR, CCR
APPEARANCES:
(As heretofore noted.)

DOCUMENT NUMBER - DATE
14073 NOV 16 99
FPSC-RECORDS/REPORTING

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME PAGE NO.

THOMAS HYDE

Direct Examination by Ms. Edwards . . .	326
Prefiled Direct Testimony Inserted . . .	338
Prefiled Rebuttal Testimony Inserted . .	366
Supplemental Testimony Inserted . . .	393
Cross Examination by Mr. Alexander . . .	401

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS - VOLUME 3

NUMBER		ID.	ADMTD.
#19	Exhibits TAH-1, 2 & 3	330	
#20	Exhibit TAH-4	334	

P R O C E E D I N G S

1
2 COMMISSIONER CLARK: Let's go back on the
3 record and take up the preliminary matter.

4 MR. GOGGIN: Earlier in Mr. -- while
5 Mr. Rozycki was testifying, there was a line of
6 questioning on cross that concerned the makeup of
7 the customer base for ITC^DeltaCom, and an objection
8 was raised by ITC^DeltaCom based on the fact that
9 the question called for the disclosure of
10 information that they had produced in discovery but
11 that for which they've claimed confidential
12 treatment. Subsequently, in response to a question
13 by staff, Mr. Rozycki volunteered information from
14 precisely the same set of confidential information
15 concerning the makeup of the customer base about
16 which he had refused to answer questions when he was
17 being asked on cross. I guess what I --

18 COMMISSIONER CLARK: Forgive me, but I don't
19 remember it that way. I remember it was -- well,
20 and you might need to clarify for me. I thought the
21 reason the questions were not allowed was it went
22 into discovery that they declined to provide, and it
23 wasn't being pursued in your motion to compel.

24 MR. GOGGIN: Perhaps I'm mistaken.

25 COMMISSIONER CLARK: Okay.

1 MR. GOGGIN: And perhaps this situation hasn't
2 come up, but I think that what we're prepared to
3 suggest would be useful in any event, which is that
4 if a question is asked that would call for the
5 disclosure of confidential information and a party
6 objects to disclosure of that information because
7 they've claimed confidential treatment, that they
8 not be permitted later to voluntarily disclose the
9 same information after a party has had a chance to
10 ask questions about it.

11 COMMISSIONER CLARK: I don't -- I think that's
12 fair, but that wasn't how I understood what
13 occurred, and I may be --

14 MR. GOGGIN: I may be incorrect about that as
15 well. I just --

16 COMMISSIONER CLARK: Okay. Okay. With that
17 understanding, we'll go forward.

18 MR. GOGGIN: Thank you.

19
20

21 * * * *

22

23 Whereupon,

24

THOMAS HYDE

25

was called as a witness by ITC^DeltaCom and, after being

1 first duly sworn, was examined and testified as follows:

2

3

DIRECT EXAMINATION

4 BY MS. EDWARDS:

5

Q Please state your name for the record.

6

A My name is Thomas Hyde.

7

Q Okay. Did you cause to be filed in this matter
8 direct testimony?

9

A Yes, I did.

10

Q Okay. Pursuant to the Commission's order,
11 turning to Page 18 of your direct testimony.

12

A Okay.

13

Q Lines 11 and 12 are to be stricken, which is
14 the question: "How do these reports relate to the need
15 for performance guarantees?" That question is stricken,
16 and on Line 13, the "A" is stricken as well, but that
17 is -- That's all.

18

COMMISSIONER CLARK: Wouldn't it be the whole
19 question and answer should be stricken?

20

MR. ALEXANDER: BellSouth would take that
21 position. The question clearly sets up an answer
22 that relates to performance guarantees. In fact, on
23 line 23 it's specifically mentioned again.

24

MR. ADELMAN: Commissioner Clark, I worked this
25 out with Mr. Goggin. I thought we had an

1 understanding, Mr. Goggin, that the text really went
2 to the more general question from above and that you
3 did not object.

4 MR. GOGGIN: I'm trying to find that right now.

5 MR. ADELMAN: Page 18.

6 MR. GOGGIN: I believe Mr. Adelman is correct,
7 that although the question seems to set up an answer
8 that calls exclusively for information that relates
9 to an issue that has been struck, that there is a
10 portion of the answer that does not directly address
11 the question that's been asked.

12 COMMISSIONER CLARK: All right. So the
13 question will be stricken, and the letter "A" will
14 be stricken on Line 13.

15 MS. EDWARDS: And in addition to that,
16 beginning at Line 23, on the same page, Page 18, it
17 starts out, "Performance guarantees are critical to
18 (1) providing BellSouth with the incentive to
19 reduce," from Line 23, beginning at "Performance
20 guarantees" on Page 18, to Page 19, Line 3, that
21 should be stricken.

22 COMMISSIONER CLARK: Okay.

23 MS. EDWARDS: Turning to Page 20 of the direct
24 testimony, Line 2, beginning, "Thus, BellSouth
25 should waive or refund any applicable nonrecurring

1 charges," that should be stricken, from Line 2 to
2 Line 7.

3 COMMISSIONER CLARK: What is that page again?
4 I'm sorry.

5 MS. EDWARDS: Page 20.

6 Turning to Page 21 of the direct testimony,
7 beginning at Line 11, and going to Page 22, Line 18,
8 that should be stricken.

9 Page 24 --

10 MR. ALEXANDER: May I ask a question?

11 COMMISSIONER CLARK: Yes.

12 MR. ALEXANDER: You were at Page 21 when you
13 started at Line 11?

14 MS. EDWARDS: Yes.

15 MR. ALEXANDER: Is Page 21, Line 6 making a
16 reference to an item that has been closed as well?

17 MS. EDWARDS: Mr. Alexander is correct. That
18 is correct. Let's see.

19 MR. ALEXANDER: I would suggest --

20 MS. EDWARDS: It would actually be all of Page
21 21. He is correct. So it would be Page 21 all the
22 way to Page 22, Line 18.

23 MR. ALEXANDER: Thank you.

24 MS. EDWARDS: Page 24, Line 6, beginning,

25 "BellSouth's proposed security arrangements appear

1 to be far in excess of that required for BellSouth's
2 own employees," strike from Line 7 down to Line 11.

3 Turning to Page 25, beginning at Line 4.

4 MR. ALEXANDER: Let me ask another question.
5 On Page 24, to the issue there on Line 13,
6 references, I believe, Issue 5, which is not in the
7 proceeding as well, and it takes up subjects on Page
8 25, for example, binding forecast and things like
9 that, and I believe that is not in the prehearing
10 order.

11 COMMISSIONER CLARK: Okay.

12 MS. EDWARDS: That is correct as well. So it
13 would be Page 24 beginning at Line 7, going to Page
14 26, ending at Line 7, and that's all for the direct
15 testimony.

16 BY MS. EDWARDS (Continuing):

17 Q Mr. Hyde, are there three exhibits attached to
18 your direct testimony?

19 A Yes, there are.

20 Q Are they noted as TAH-1, 2 and 3?

21 A That is correct.

22 Q Turning to your rebuttal testimony --

23 COMMISSIONER CLARK: Ms. Edwards, should we
24 mark TAH-1, 2 and 3 as Exhibit 19?

25 MS. EDWARDS: Yes, Commissioner, thank you.

1 COMMISSIONER CLARK: Okay.

2 BY MS. EDWARDS (Continuing):

3 Q Turning to rebuttal testimony, beginning at
4 page, I believe Page 13, starting at Line 4, that
5 testimony should be struck all the way to page -- excuse
6 me, Line 17, Page 13.

7 Turning to Page 15, Line 10, that -- the
8 testimony should be stricken to Line 21 of Page 15.

9 Page 17, beginning at Line 4, going to Page 18,
10 ending at Line 3.

11 Page 20, beginning at Line 7, to Page 22, Line
12 16, that as well should be struck.

13 A You said 22, Line 16?

14 Q Yes.

15 A Thank you.

16 On Page 22, beginning at Line 20, Sub Part (b),
17 "If BellSouth delays the schedule cutover date, should
18 BellSouth be required to waive the applicable
19 nonrecurring charge?" That should be struck.

20 COMMISSIONER JACOBS: Again, I'm sorry, what
21 page again?

22 MS. EDWARDS: Page 22, Line 20, beginning at
23 Sub Part (b), "If BellSouth delays the scheduled
24 cutover date, comma, should BellSouth be required to
25 waive the applicable nonrecurring charges?" That

1 should be struck.

2 Page 23 --

3 MR. ALEXANDER: May I ask another question? I
4 may have missed it, but also Line 22 through 23, the
5 Sub Part (c), you did get that struck: "Should
6 BellSouth be required to perform dial tone tests at
7 least 48 hours --" that issue has been resolved.

8 MR. GOGGIN: That hasn't been struck yet.

9 MS. EDWARDS: We did not discuss that.

10 BY MS. EDWARDS (Continuing):

11 Q Mr. Hyde, to your recollection has that issue
12 been settled?

13 MR. ALEXANDER: It's not in the prehearing
14 order, I can tell you that.

15 WITNESS HYDE: To the best of my recollection,
16 that issue has been closed.

17 MS. EDWARDS: Okay. So we will agree to strike
18 Part (c), "Should BellSouth be required to perform
19 dial tone tests at least 48 hours prior to the
20 scheduled cutover date?" That should be struck.

21 Page 23, beginning at Line 7, "The issue of
22 waiver of nonrecurring charges," that sentence
23 should be struck.

24 Beginning at Line 12 --

25 COMMISSIONER CLARK: So that would be Lines 7

1 and 8 are struck?

2 MS. EDWARDS: Yes, Lines 7 and 8.

3 COMMISSIONER CLARK: Okay.

4 MS. EDWARDS: Same page, Page 23, beginning at
5 Line 12 --

6 MR. ALEXANDER: I apologize, but Lines 9 and 10
7 on Page 23 would be the same, the dial tone test.

8 MS. EDWARDS: Yes, it would. So that would
9 also be from Line 7 to 10.

10 MR. ADELMAN: And, Commissioner, we apologize.
11 I mean, Mr. Alexander, we're trying to go off the
12 list that you submitted, and I know we've all let
13 some things --

14 MR. ALEXANDER: We worked on it last night, and
15 I've tried to read as close as I could.

16 MS. EDWARDS: Beginning at Line 12 on Page 23,
17 all the way to Page 26, Line 16, that should also be
18 struck. And that is the rebuttal testimony.

19 BY MS. EDWARDS (Continuing):

20 Q Mr. Hyde, did you have an exhibit to your
21 rebuttal testimony?

22 A No, I don't believe so.

23 Q Can you check that, Mr. Hyde?

24 A Let me check and see.

25 COMMISSIONER CLARK: Mr. Hyde, I do have a

1 TAH-4.

2 WITNESS HYDE: Oh, that's right, I did, yes. I
3 did not have it included in here. Yep, here it is.
4 I'm sorry, I didn't tab it. My fault. No tab in
5 there. Yes, there is an exhibit, TAH-4.

6 MS. EDWARDS: Would that be marked as Exhibit
7 20?

8 COMMISSIONER CLARK: Yeah, if it's not --
9 Doesn't it need to be stricken?

10 MS. EDWARDS: No.

11 COMMISSIONER CLARK: All right. That would be
12 marked as Exhibit 20.

13 BY MS. EDWARDS (Continuing):

14 Q In addition to the testimony that has been
15 removed, do you have any corrections or changes to either
16 your direct or rebuttal testimony?

17 A Yes, I have three changes, I believe. Starting
18 with the direct testimony, Page 14, Lines 9 and 10,
19 there's a figure there quoting a BellSouth nonrecurring
20 charge of \$100. In both instances, that rate has been
21 lowered to 50, so the 100 needs to be changed to 50. And
22 the same correction, I believe, on Page 11 of the
23 rebuttal testimony, Line 1 --

24 COMMISSIONER CLARK: I'm sorry, let me just
25 make sure. You want the hundred on Page 14, Line 9

1 and 10, both those one hundred figures should be
2 changed to 50?

3 WITNESS HYDE: That is correct.

4 COMMISSIONER CLARK: Okay. Go ahead.

5 WITNESS HYDE: And then the same change on
6 rebuttal testimony, Page 11, Line 1, it also should
7 be a 50-dollar nonrecurring charge. And that's all
8 the changes that I have.

9 BY MS. EDWARDS (Continuing):

10 Q Did you also -- It occurred to me. Did you
11 also submit supplemental testimony consisting of about
12 three pages?

13 A Yes, I did.

14 Q Okay. Do you have any changes to that
15 testimony?

16 A No, I do not.

17 Q Okay. If I were to ask you the same questions
18 today as are contained in your prefiled direct, rebuttal
19 and supplemental testimony, would your answers be the
20 same?

21 A Yes, they would.

22 COMMISSIONER CLARK: Ms. Edwards, let me be
23 clear. Rebuttal testimony, I have a petitioner,
24 ITC^DeltaCom's request for leave to file
25 supplemental rebuttal testimony. Should I be -- Do

1 I need direct testimony? I guess it's rebuttal,
2 right? I have it served on the 22nd day of
3 October. I only have two pages.

4 MS. EDWARDS: Two pages?

5 COMMISSIONER CLARK: Yes.

6 MR. ALEXANDER: That's all we got too.

7 MS. EDWARDS: Okay. I may have been
8 incorrect. Correction, it should be two pages.

9 COMMISSIONER CLARK: All right. Does the court
10 reporter have a copy of it, do you know?

11 THE COURT REPORTER: I don't know.

12 COMMISSIONER CLARK: All right. We'll make
13 sure you get a copy of the right one.

14 All right.

15 MS. EDWARDS: Commissioner, at this time I
16 would ask that his testimony, subject to the
17 Commission's order and the stricken testimony and
18 the corrections, be entered into the record as
19 though read.

20 COMMISSIONER CLARK: Okay. We probably need to
21 ask him if the testimony, this prefiled testimony is
22 the same testimony you would give on the stand at
23 this time?

24 WITNESS HYDE: Yes, it is.

25 COMMISSIONER CLARK: Okay. With that

1 understanding, we will insert the prefiled direct,
2 rebuttal, and supplemental testimony into the record
3 as though read with the changes previously noted.
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Due 1

1 **Q. PLEASE STATE YOUR NAME, POSITION AND BUSINESS**
2 **ADDRESS.**

3 **A.** My name is Thomas Hyde. I am Senior Manager – Industry Relations
4 for ITC^DeltaCom Communications Inc., (“ITC^DeltaCom”). My
5 business address is 1530 DeltaCom Drive Anniston, Alabama 36202.

6
7 **Q. PLEASE DESCRIBE YOUR BUSINESS EXPERIENCE AND**
8 **BACKGROUND.**

9 **A.** I have over thirty years of experience in telecommunications
10 including installation, maintenance and design of switched and
11 special toll services with AT&T; pricing, rate and tariff development
12 with South Central Bell and BellSouth Telecommunications “BST”
13 for various services including intrastate and interstate switched and
14 special access; access and technology planning with the National
15 Exchange Carrier Association (NECA); Telecommunications
16 consulting on Unbundled Network Elements, Universal Service and
17 access issues for MCI Telecommunications, Inc. In the 1980’s,
18 while responsible for the switched and special access rate and tariff
19 development for BellSouth following the divestiture of the Bell
20 System, I developed rates and support documentation for the
21 implementation of access. As part of that process, I also had the
22 responsibility of assuring the validity of the cost and demand inputs
23 used in developing those rates. At NECA I was responsible for
24 planning and implementation of Local Transport Restructure,
25 Access Reform, ISDN, SONET and various other services. While
26 providing telecommunications consulting services to MCI, I filed

1 unbundled network element non-recurring cost, Universal Service
2 Benchmark and other testimony with numerous state commissions
3 and regulatory authorities. Currently I am Senior Manager –
4 Industry Relations with ITC^DeltaCom. My job responsibilities
5 required that I master diverse telecommunications disciplines
6 including network design, equipment installation and maintenance,
7 rate and tariff development, project management, and technical
8 aspects of the public switched network.

9
10 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THIS**
11 **COMMISSION?**

12 **A.** Yes.

13
14 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

15 **A.** I will address unresolved issues between BellSouth and
16 ITC^DeltaCom not covered by other ITC^DeltaCom witnesses.
17 Basically, I will address the concept of parity as it involves local
18 competition and the availability and purchase of Unbundled Network
19 Elements "UNE" from BellSouth.

20
21 **Q. HAVE ANY OF THE ISSUES ADDRESSED IN YOUR TESTIMONY**
22 **BEEN RESOLVED?**

23 **A.** Yes. I believe some of the issues have been resolved. Please refer
24 to Exhibit CJR-1 in Mr. Rozycki's Testimony for a list of the issues that
25 ITC^DeltaCom believes have been resolved. I have included a

1 discussion of these issues in my Testimony because the parties have
2 not formalized the resolution of these issues.

3

4 **Q. PLEASE DESCRIBE BELLSOUTH'S RESPONSE WITH REGARD**
5 **TO UNE PARITY.**

6 **A.** During negotiations with BellSouth, ITC^DeltaCom requested that
7 BellSouth agree to provide UNEs at parity with BellSouth's retail
8 services. BellSouth's answer to these requests has been a rather
9 flippant "We don't buy UNEs so you cannot have parity." This cavalier
10 attitude ignores the fact that BellSouth services are made up of
11 combined UNEs. The request for UNE parity with BellSouth's retail
12 services is really less than the CLEC industry should receive.

13

14 As BellSouth's own technical references show, the transmission
15 parameters for end-to-end service is not as stringent as those
16 specified for portions of an end-to-end service.¹ However, since
17 BellSouth has yet to develop these more stringent requirements, the
18 CLEC industry must rely on the lesser quality requirements for the
19 end-to-end retail service, that ITC^DeltaCom, a purchaser of UNEs,
20 will be competing with. BellSouth's continued refusal to provide any
21 type of parity (other than the vague promise that UNEs furnished to
22 ITC^DeltaCom will be as good, or bad, as the UNEs furnished to any

¹ For example, TR_NWT_000335 issued by BellCore/Telecordia Issue 3, May, 1993 referenced in BellSouth's Access and Private Line Tariffs

1 other CLEC) will result in a competitive advantage for BellSouth and
2 stifle the development of competition.

3

4 **Q. DOES THAT MEAN THAT BELL SOUTH PROVIDES UNE LOOPS**
5 **THAT ARE NOT EQUIVALENT TO THE LOOPS THAT THEY**
6 **PROVIDE THEIR OWN CUSTOMERS?**

7 **A.** Yes. On almost all UNEs that are migrated from BellSouth
8 customers that are served via Integrated Digital Loop carrier "IDLC"
9 or for customers' locations where BellSouth would use IDLC for its
10 own service, BellSouth provides an inferior service to the CLECs.
11 This inferior service results from BellSouth's refusal to provide
12 IDLC equivalent service in most instances. Instead BellSouth uses
13 either excessively long copper loops that result in a substandard
14 loop caused by excessive loss on the loop as well as increasing the
15 likelihood of noise problems or they use the outdated UDLC
16 technology that increases costs and will not always provide the
17 same quality and features of IDLC. In rare instances, BellSouth
18 does provide the "side door" IDLC connectivity, but BellSouth uses
19 a voice grade (DS0) interface for that connection thus degrading
20 the quality of the loop by adding additional voice to digital
21 conversions. It is clear from this provisioning of DS0 IDLC when it
22 suits BellSouth that it would also be feasible for BellSouth to
23 provide IDLC elsewhere.

24

1 **Q. PLEASE ILLUSTRATE YOUR POINT WITH AN EXAMPLE.**

2 **A.** As an example of this problem, consider an existing Bellsouth
3 customer that is being served on IDLC facilities today and is using
4 forward disconnect (a type of loop signaling) to let their PBX know
5 that a call has been disconnected. When a CLEC wins that
6 customer and Bellsouth converts the customer from IDLC to UDLC,
7 usually the forward disconnect does not work. The customer
8 naturally becomes upset, the CLEC's reputation is damaged and
9 the customer changes back to BellSouth for the required feature.
10 BellSouth's technical specifications state that forward disconnect,
11 among other things, are not supported on UNE loops (even though
12 they certainly appear to be supported on loops that BellSouth uses
13 for providing service to its own customers). The only way for a
14 CLEC to know whether a feature will work is to convert the
15 customer's service. So, the CLEC industry is faced with making
16 the choice of either forgoing competition in an entire customer
17 segment or trying to provide service without the knowledge of
18 whether or not BellSouth will furnish facilities of sufficient quality
19 that the end users' service will work. Sometimes BellSouth
20 converts the IDLC loops to long copper loops. In this case the
21 forward disconnect works, but the loss on the loop may be so
22 severe that it will detrimentally affect service or the loop may have
23 too much noise for the customer to accept. In any event the quality
24 is less than BellSouth provides to itself.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18 **Q. HOW HAVE REGULATORS RESPONDED TO THE ISSUE?**

19 **A.** The Tennessee Regulatory Authority "TRA" has recognized the
20 problems associated with the provision of equivalent loops. In the
21 TRA Directors' Conference of June 30, 1998 the TRA decided:

22

23

24

"[B]ellSouth must, however, supply an unbundled network
element loop that provides equivalent performance to the

1 IDLC. Furthermore, the cost of such a loop must be no
2 more than the incumbent company incurs itself when
3 offering such performance to its own customers. Otherwise,
4 I believe the practice to be discriminatory.

5 Still, no one has claimed that the law prevents BellSouth
6 from offering IDLC. Therefore I move that for customers
7 served by IDLC technology, BellSouth must offer an
8 unbundled loop which will allow end users to obtain the
9 same level of performance as that offered by IDLC.

10 Specifically, the unbundled loop should deliver to a CLEC a
11 digital signal that is equivalent to that which enters a switch
12 when IDLC is employed. For example, no additional digital
13 to analog or analog to digital transformation required in
14 excess to that required for BellSouth's retail service.

15 The cost of such an unbundled loop should be established
16 so that it is no more than the equivalent of the loop cost
17 associated with an IDLC connection. This should be
18 computed by calculating the combined cost of a loop
19 connected to a switching port with access to all software
20 features using IDLC technology. The loop cost would be the
21 difference between this combined cost and the cost on an

1 unbundled switching port with access to all software
2 features."²

3 In order for competition to be viable, BellSouth must provide UNEs
4 with the same quality and at the same costs as those they provide
5 to their retail customers. This Commission should take the same
6 approach as the TRA.

7

8 **Q. WILL ITC^DELTACOM'S ABILITY TO COMPETE BE IMPACTED**
9 **BY THE COMMISSION'S DECISION IN THIS CASE?**

10 **A.** Yes. By not requiring BellSouth to provide UNEs that are equivalent
11 to those BellSouth provides their own retail customers, customers of
12 CLECs, such as ITC^DeltaCom, are not receiving the same quality of
13 loop that BellSouth provides to its own retail end users. For example,
14 the equivalent of the UNE loop is necessary for the retail service to
15 work. Without the loop BellSouth cannot connect to the end user.
16 Since the same connectivity is required for the retail service,
17 BellSouth should be required to provide parity. If BellSouth cannot
18 establish the more stringent parameters associated with a single
19 component of an end-to-end service, then at an absolute minimum,
20 BellSouth must provide UNEs at parity with the end-to-end service
21 itself.

22

² Minutes of the Directors' conference of Tuesday, June 30, 1998, Volume II Page 28 lines 17-25
and Page 29, lines 1-19

1 Q. PLEASE DESCRIBE BELLSOUTH'S RESPONSE TO
2 ITC^DELTACOM'S REQUEST TO PROVIDE EXTENDED
3 LOOPS.

4 A. Despite the fact that our current interconnection agreement
5 requires that they do so, BellSouth declined to continue to provide
6 the extended loop to ITC^DeltaCom. Put simply, they wanted to
7 discontinue this service offering.

8
9 Q. PLEASE EXPLAIN THE SIGNIFICANCE OF BELLSOUTH'S
10 POSITION ON EXTENDED LOOPS.

11 A. When an ITC^DeltaCom customer is served out of Central Office A
12 but the ITC^DeltaCom collocation site is in Central Office B,
13 ITC^DeltaCom can, under its current contract, obtain an extended
14 loop from Central Office A to the ITC^DeltaCom collocation site in
15 Central Office B via dedicated transport. By declining to provide
16 the extended loop as a UNE, BellSouth forces ITC^DeltaCom to
17 pay a higher rate for that capability or to pay the extra costs of
18 collocation in marginal offices. ITC^DeltaCom's current agreement
19 provides for the parties to *"attempt in good faith to mutually devise*
20 *and implement a means to extend the unbundled loop sufficient to*
21 *enable DeltaCom to use a collocation arrangement at one*
22 *BellSouth location per LATA..."* The provisions of this paragraph
23 can only be satisfied through extended loops.

24

1 BellSouth did provide such extended loops and there are more
2 than 2,500 such extended loops being provided by BellSouth to
3 ITC^DeltaCom today.

4
5 **Q. WHY HAS BELLSOUTH CHANGED ITS POSITION ON**
6 **EXTENDED LOOPS?**

7 **A.** I cannot be sure, but BellSouth apparently had no problem with this
8 arrangement until ITC^DeltaCom requested that BellSouth improve
9 the quality of the extended loop provisioning. BellSouth's response
10 to the request for improved service was to stop offering the service
11 and threaten to take away the existing service. This type of
12 arrangement has been provided by BellSouth under the access
13 tariffs since 1984 with a good service record. There is no reason
14 for BellSouth to refuse to provide it under the interconnection
15 agreement and this Commission should require BellSouth to
16 continue providing extended loops to ITC^DeltaCom. In addition, it
17 has recently come to light that BellSouth may be double billing
18 ITC^DeltaCom for the extended loops. Almost all, if not all, of the
19 extended loops use DS1 transport to connect to ITC^DeltaCom's
20 collocation space. However, it appears that BellSouth may be
21 billing ITC^DeltaCom for DS0 transport as well as DS1 on the
22 same UNE loops.

23

1 **Q. ARE THERE OTHER UNEs THAT BELL SOUTH REFUSES TO**
2 **PROVIDE?**

3 **A.** Yes. BellSouth has also indicated during negotiations that they are
4 no longer willing to provide Manual Order Coordination for the voice
5 grade service level 1 loop even though it was included in all of the
6 filed UNE cost studies.

7

8 **Q. DOES BELL SOUTH PROVIDE PARITY IN SERVICE**
9 **MAINTENANCE?**

10 **A.** No. In states other than Florida ITC^DeltaCom currently uses the
11 Voice Grade SL2 UNE in the hope that it will provide better service
12 than the less expensive SL1. In Florida, BellSouth has not yet
13 made the SL1 available, so there is no alternative for voice grade
14 UNE service other than the more expensive designed SL2
15 equivalent. Even though there has been marginal improvement in
16 the general quality of maintenance, there remains a long way to go
17 to achieve parity with the maintenance provided to other BellSouth
18 services. There have even been instances where services were
19 not repaired until the end user returned to BellSouth as a customer.
20 For DS1 services, ITC^DeltaCom uses the access service provided
21 under BellSouth's FCC tariff since it is maintained at a much better
22 level than are the UNEs.

23

1 **Q. WHAT PROBLEMS HAS ITC^DELTA COM ENCOUNTERED WHEN**
2 **PROVIDING SERVICE VIA UNE'S?**

3 **A.** In situations where ITC^DeltaCom has physically collocated in
4 BellSouth's central office, the loop from the customer premises to
5 ITC^DeltaCom is leased from BellSouth via UNE loops. However,
6 BellSouth has failed to provide the loop within parameters or
7 tolerances necessary for the provision of quality service, or in other
8 cases, BellSouth has provided such poor quality that that a customer
9 could not use the line for fax or modem. For example, the Bellcore
10 standard is 8db and BellSouth's technical specification call for 10db,
11 but the loop provided by BellSouth can well be in excess of 20db or
12 as low as less than 1db. In addition, in many instances the loop
13 leased from BellSouth is susceptible to noise problems. Frequently
14 the loops provided by BellSouth will not support the same type of
15 signaling that BellSouth was providing the end user on a retail basis
16 and ITC^DeltaCom cannot discover any problems regarding the
17 signaling until after the end user has been converted to
18 ITC^DeltaCom. When problems are encountered at the initiation of
19 ITC^DeltaCom's service to the end user, the end user will often
20 respond "I did not have this problem with Bell" and ITC^DeltaCom's
21 reputation will be damaged even though the problem may solely
22 reside with BellSouth. The Commission should require that BellSouth
23 provide service at least at parity to that provided to its own retail
24 customers.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Q. ARE THERE ANY CONCERNS ABOUT THE NON-RECURRING CHARGES?

A. Yes. Witness Wood will address the non-recurring charges (“NRC”) in more detail, however I will discuss some of the problems with the NRCs.

In BellSouth’s cost studies filed in the UNE cost dockets BellSouth had certain worktimes associated with certain functions. One of those worktimes dealt with the coordination of installation by the UNE center (in the actual filed cost study, BellSouth identified the organization as the Access center and later changed the reference to the UNE center without a change in worktimes). If one takes those filed worktimes and develops an average number of loops that a BellSouth technician can coordinate per day, one finds that BellSouth can only coordinate approximately 7 loops per day per person. ITC^DeltaCom is converting many more than 7 loops per day and requests that this Commission direct BellSouth to provide dedicated technicians to ITC^DeltaCom based on the worktime in the filed cost study. One of the other major problems associated with NRCs involves the ADSL and HDSL loops. These loops are simply “plain old copper.” The “advanced services” being provided on these loops is solely a function of the central office and customer premises equipment. BellSouth recognized the lack of complex equipment on the loop in the recurring

1 cost for xDSL (the recurring is less than voice grade recurring). The
2 functions listed by BellSouth in the NRC costs simply will not be
3 performed thus resulting in NRCs that are far in excess of BellSouth's
4 costs.

5

6 **Q. DOES BELLSOUTH PROVIDE xDSL OTHER THAN WITH UNEs?**

7 **A.** Yes. BellSouth provides ADSL through its FCC Tariff No. 1 directly
8 to ISPs. It is interesting to note the NRC in the FCC tariff for ADSL.
9 BellSouth will provide ADSL with a NRC of ~~\$100~~⁵⁰ assuming an existing
10 voice grade local line. That ~~\$100~~⁵⁰ covers the installation of the Digital
11 Subscriber Line Access Multiplexer ("DSLAM") equipment in the
12 central office in addition to "conditioning" the loop. The majority
13 (perhaps far in excess of 90%) of the charge is for the DSLAM leaving
14 only a few dollars for the "loop conditioning". In fact, the only
15 additional cost above voice grade incurred by BellSouth for providing
16 xDSL is looking at loop records to determine whether or not the loop
17 is "old fashioned copper". BellSouth recognizes this in its FCC tariff
18 with the statement that ADSL "is a non-designed service."

19

20 **Q. WHAT IS ADSL AND HOW IS AN ADSL COMPATIBLE UNE LOOP**
21 **DIFFERENT FROM ADSL SERVICE OR A VOICE GRADE UNE**
22 **LOOP?**

23 **A.** For the loop portion of the service there is no difference other than the
24 huge inconsistency in the respective BellSouth non-recurring charges.

1 ADSL is an overlay service placed on voice grade facilities. That is
2 the case whether BellSouth provides ADSL on an existing exchange
3 service (via an ADSL compatible loop) or a CLEC provides ADSL on
4 an ADSL compatible UNE loop. The advanced service associated
5 with ADSL is a function of the central office and customer premises
6 equipment, not a function of the loop. The loop itself is old copper
7 technology (BellSouth's first copper pair loop installed over one
8 hundred years ago was ADSL compatible). Thus, the appropriate
9 NRC for ADSL is the NRC for an equivalent voice grade loop plus an
10 incremental cost for checking to see if the loop will meet the ADSL
11 criteria. Unfortunately, BellSouth has not produced an equivalent
12 voice grade NRC cost. Until such time as BellSouth files an
13 appropriate cost study, I recommend that this Commission set the
14 NRC for ADSL at a fraction of the voice grade SL2 NRC rate.

15

16 **Q. DOES BELLSOUTH PROVIDE PARITY IN SERVICE ORDER**
17 **PROCESSING?**

18 **A.** No. Currently BellSouth cannot process 20% to 25% of
19 ITC^DeltaCom's orders mechanically. That results in far too many
20 orders requiring fax transmission. Moreover, of the 75% to 80% that
21 ITC^DeltaCom can transmit to BellSouth electronically, more than
22 50% require manual intervention by BellSouth due to inadequacies in
23 BellSouth's systems. In addition, the interval for providing UNEs is far
24 in excess of that BellSouth provides its retail customers.

1 ITC^DeltaCom currently gives BellSouth intervals longer than the
2 minimum required by BellSouth but still has problems with BellSouth
3 working the order on the requested due date. The end result is that
4 ITC^DeltaCom's customers, being accustomed to the intervals
5 provided by BellSouth in the retail environment, expect ITC^DeltaCom
6 to provide its service in comparable timeframes. Many of
7 ITC^DeltaCom's orders for UNEs are delayed time and time again by
8 BellSouth resulting in customer dissatisfaction. This Commission
9 should require BellSouth to provide UNEs in a timely manner and
10 establish performance guarantees for its failure to do so. In addition
11 to correction of the problems with timely processing of the service
12 orders, BellSouth should also be required to furnish all customer and
13 facility information necessary to allow ITC^DeltaCom to issue orders
14 on a mechanical basis.

15

16 **Q: HAS ITC^DELTACOM INFORMED BELLSOUTH OF THESE**
17 **PROBLEMS?**

18 **A:** Yes. ITC^DeltaCom has been providing BellSouth with specific data
19 on performance problems for some time now. In early March of this
20 year, ITC^DeltaCom and BellSouth representatives met to review a
21 series of trouble reports ITC^DeltaCom had earlier provided to
22 BellSouth concerning unbundled loop cutovers. Attached as Exhibit
23 TAH-1 is a summary of these trouble reports ITC^DeltaCom provided
24 to BellSouth. Exhibit TAH-2 is a summary which BellSouth prepared

1 itself based on the information provided by ITC^DeltaCom. The first
2 page of the exhibit summarizes a total of 47 trouble reports. The
3 page is entitled "Summary of Review." The letters to the right of the
4 word "unit" relate to various divisions within BellSouth and to
5 competitive local exchange carrier ("CLEC") as follows:

6 OSPE - BellSouth Outside Plant Engineering
7 AFIG - BellSouth Facility Interface Group
8 UNE - BellSouth Unbundled Network Element Center
9 CLEC - Competitive Local Exchange Carrier
10 CO- BellSouth Central Office
11 LCSC - BellSouth Local Carrier Service Center
12 I&M - BellSouth Installation and Maintenance
13 CPG - BellSouth Circuit Provisioning Group
14 PICS - BellSouth Plug In Control System

15 Except for the code "CLEC," each of these codes relates to a
16 separate division within BellSouth involved in transitioning a customer
17 from BellSouth to ITC^DeltaCom by means of an unbundled local loop
18 cutover. In other words, BellSouth provisions the loop to
19 ITC^DeltaCom for it to provide facilities-based local exchange service
20 to the customer.

21 The pages behind this summary sheet contain BellSouth's own
22 analysis of the ITC^DeltaCom provided trouble report assigning
23 responsibility for the problem to either ITC^DeltaCom or to one of the
24 BellSouth's divisions mentioned above.

1 Q. WHAT DOES THE BELLSOUTH REPORT SHOW?

2 A. The report shows that of 47 unbundled loop orders, 41 experienced
3 significant BellSouth-caused delays or customer service outages.

4

5 Q. HAS ITC^DELTACOM CONTINUED TO EXPERIENCE PROBLEMS
6 OF THIS MAGNITUDE?

7 A. Yes. I have included as Exhibit TAH-3 a more recent set of
8 ITC^DeltaCom trouble reports of the same type included in the
9 summary prepared by BellSouth.

10

11 ~~Q. HOW DO THESE REPORTS RELATE TO THE NEED FOR~~
12 ~~PERFORMANCE GUARANTEES?~~

13 ~~A.~~ ITC^DeltaCom - and any competing local provider - faces tremendous
14 obstacles in trying to convince a long-standing customer of BellSouth
15 to switch to a new carrier. When the customer experiences problems
16 at the very outset of this new arrangement, it immediately causes a
17 perhaps already tentative customer to become even more anxious
18 about the decision to go with a new carrier. When these problems
19 occur, it is ITC^DeltaCom that is held responsible - not BellSouth.
20 This is so even though the problem with the transition is BellSouth's
21 problem and acknowledged by BellSouth. ITC^DeltaCom often has
22 to go to great lengths to retain a customer under these circumstances
23 for which it is not compensated by BellSouth. ~~Performance~~
24 ~~Guarantees are critical to (1) providing BellSouth with the incentive to~~

1 ~~reduce the incidence of these types of problems and (2) to ensure~~
2 ~~that ITC^DeltaCom and its customer are compensated for service~~
3 ~~outages and delays caused by BellSouth.~~

4
5 **Q. HAS ITC^DELTACOM REQUESTED LANGUAGE IN ITS**
6 **INTERCONNECTION AGREEMENT TO PROTECT ITS**
7 **CUSTOMERS?**

8 **A.** Yes. For example, ITC^DeltaCom's position on Petition Issue 2(c)(ii)
9 is that the customer's service should not be interrupted for longer than
10 15 minutes between the disconnection of the old service and the
11 connection of BellSouth's facilities to ITC^DeltaCom's collocation
12 space. Any problems occurring in ITC^DeltaCom's facilities or
13 equipment would not count as part of the 15 minute interval. If the
14 proper preparation work is completed by BellSouth prior to
15 disconnecting the customer's existing service, this parameter will not
16 be difficult for BellSouth to meet. This language exists in the current
17 interconnection agreement and should be continued to the new
18 agreement.

19
20 **Q. DO YOU HAVE ANY OTHER EXAMPLES?**

21 **A.** Yes. With respect to Petition Issue 2(c)(xiv), many of the cutover
22 problems could be alleviated if BellSouth coordinated with
23 ITC^DeltaCom 24 to 48 hours prior to the scheduled cutover date and
24 performed any tests ahead of that date to insure that the cutover will

1 work smoothly. If BellSouth delays the cutover date, BellSouth has
2 cost us and our customer time and money. ~~Thus, BellSouth should~~
3 ~~waive or refund any applicable non-recurring charges associated with~~
4 ~~that cutover. In addition, in our current contract, the Party responsible~~
5 ~~for the delay should pay for the other Party's reasonable labor costs.~~
6 ~~This language is in our existing agreement approved by this~~
7 ~~Commission and is Issue 2 (c)(iv).~~

8
9 Another request ITC^DeltaCom has made on behalf of its
10 customers and because of its experiences in Florida, is that BellSouth
11 designate personnel for cutovers (Petition Issue 2 (c)(v)). Evidently,
12 there are not enough BellSouth personnel who are available and
13 dedicated to insuring a smooth transition of a customer's service from
14 BellSouth to ITC^DeltaCom. ITC^DeltaCom believes that this may
15 also reduce the number of cutovers that result in service outage to
16 end users.

17
18 Finally, ITC^DeltaCom has requested that certain LNP cutover
19 procedures be implemented as set forth in Exhibit A, Attachment 5 of
20 the arbitration petition, to insure that customers are smoothly
21 transferred from BellSouth to ITC^DeltaCom and vice versus. (Petition
22 Issue 2(f)).

23

1 Q. HAS BELLSOUTH COMMITTED TO PROVIDING THE SAME
2 REPAIR AND MAINTENANCE PRIORITY TO ITC^DELTACom
3 CUSTOMERS WHO ARE SERVED VIA UNES?

4 A. No. ITC^DeltaCom believes that the same restoration guidelines
5 that currently apply to BellSouth's retail customers should apply to
6 ITC^DeltaCom UNE customers. However, ITC^DeltaCom believes
7 that sufficient guidelines for this restoration do not currently exist.
8 ITC^DeltaCom will gladly negotiate with BellSouth to develop these
9 guidelines.

10
11 Q. WHAT IS ITC^DELTACom'S POSITION WITH REGARD TO UNE
12 COOPERATIVE TESTING?

13 A. Until such time as BellSouth provides UNES at parity, ITC^DeltaCom
14 needs these test results in order to ensure the quality of BellSouth's
15 installation. If BellSouth will agree to use its "best efforts" to provide
16 cooperative testing within 2 hours of request, ITC^DeltaCom will
17 consider this part of the issue closed.

18
19 Q. WHAT IS ITC^DELTACom'S POSITION ON ADDITIONAL COSTS
20 ASSOCIATED WITH TROUBLE ISOLATION TO BELLSOUTH'S
21 NETWORK?

22 A. The only situation where BellSouth should reimburse ITC^DeltaCom
23 is if there is a second referral on the same trouble. In other words,
24 after ITC^DeltaCom correctly isolates the trouble to BellSouth's

1 network but BellSouth fails to repair the trouble and ITC^DeltaCom is
2 required for a second time to isolate the same trouble to BellSouth's
3 facilities. ITC^DeltaCom should not be penalized for BellSouth's
4 inability to repair troubles. In addition, this would be reciprocal with
5 BellSouth's charges to ITC^DeltaCom when ITC^DeltaCom incorrectly
6 isolates the trouble to BellSouth's network.

7

8 **Q. DOES BELLSOUTH EVER MODIFY ITC^DELTA COM'S ORDER**
9 **AFTER ISSUING AN FOC?**

10 **A.** Yes. In fact, BellSouth modifies the due date after the FOC on a
11 frequent basis. Often BellSouth modifies the FOC due date on the
12 due date itself after ITC^DeltaCom has dispatched its central office
13 and customer premises technicians to work the order (as well as
14 arranging for third party vendors to be dispatched to the customer
15 premises). These types of incurred costs must be reimbursed by
16 BellSouth just as BellSouth is requesting ITC^DeltaCom to pay for the
17 costs incurred by BellSouth to accommodate ITC^DeltaCom
18 modifications.

19

20 **Q. WHY ARE COLLOCATION ISSUES A SUBJECT OF THIS**
21 **ARBITRATION?**

22 **A.** Collocation is an integral part of interconnection between carriers.
23 As has been apparent since the Telecommunications Act of 1996
24 ("1996 Act") was enacted, the promise of competition would be

1 severely curtailed without the collocation of CLEC equipment in
2 BellSouth's central offices on efficient and non-restrictive terms.
3 Today, collocation is essential to the development and deployment
4 of innovative new technologies necessary to meet the ever-
5 increasing demand for high-speed, high-capacity advanced
6 services.

7
8 The collocation issues before this Commission concern whether or
9 not BellSouth is providing collocation to ITC^DeltaCom with rates,
10 terms, and conditions that are consistent with the Communications
11 Act of 1934, as amended by the 1996 Act (together "the Act").

12 Section 251(c)(6) of the Act requires incumbent LECs to "provide,
13 on rates terms and conditions that are just, reasonable, and
14 nondiscriminatory, for physical collocation of equipment necessary
15 for interconnection or access to unbundled network elements at the
16 premises of the local exchange carrier..."³

17
18 Changes made to the collocation agreement must also be reflected
19 in the "reverse" collocation agreement. That agreement covers the
20 collocation of BellSouth equipment in ITC^DeltaCom's space.

21

22 **Q. WHAT POSITIONS DID THE PARTIES TAKE DURING THE**
23 **NEGOTIATIONS WITH RESPECT TO COLLOCATION ISSUES?**

³ 47 U.S.C. Section 251(c)(6).

1 A. ITC^DeltaCom's position in the negotiations was, and continues to
2 be, that BellSouth must comply with the collocation policies and
3 rules set forth in the Federal Communications Commission's "FCC"
4 recent Advanced Wireline Service Order, released on March 31,
5 1999. Although BellSouth indicated that it would likely follow the
6 FCC's order, BellSouth's new collocation language conflicts with
7 the FCC's recent order. ~~BellSouth's proposed security~~
8 ~~arrangements appear to be far in excess of that required for~~
9 ~~BellSouth's own employees. The Commission should require~~
10 ~~BellSouth to set the CLEC security arrangements to be equivalent~~
11 ~~with that required for BellSouth's own employees.~~

12
13 **Q. HAS BELLSOUTH ADDRESSED ALL ISSUES CONCERNED WITH**
14 **ATTACHMENT 3 AND LISTED AS UNRESOLVED IN EXHIBIT B?**

15 A. No. At the time of the filing of this petition, BellSouth was reviewing
16 ITC^DeltaCom's proposed language. Thus, in order to preserve
17 these issues, ITC^DeltaCom generically requested the same
18 interconnection language that is in our current agreement as part of
19 issue 5. ITC^DeltaCom then listed each section of the proposed
20 language it provided BellSouth that it understood as open and under
21 review as an unresolved issue in Exhibit B. The parties are currently
22 negotiating Attachment 3. Rather than address all issues in Exhibit
23 B that are still undecided, I request that I be able to update and

1 supplement my testimony to the extent necessary to adequately
2 address any unresolved issues.

3
4 **Q. WHAT ARE ITC^DELTA COM'S FORECASTING NEEDS?**

5 **A.** As ITC^DeltaCom expands its services, there may be instances
6 where ITC^DeltaCom is willing to commit to a binding forecast to
7 insure that BellSouth's network can support ITC^DeltaCom's traffic
8 requirements. This may be particularly true in congested wire
9 centers and tandem offices. Like many other carriers,
10 ITC^DeltaCom's traffic has grown significantly over the past several
11 years. ITC^DeltaCom expects that its traffic requirements will
12 continue to expand in the immediate future. To guarantee that
13 ITC^DeltaCom will have the requisite capacity on BellSouth's
14 networks, ITC^DeltaCom believes that it is necessary to enter into
15 a binding forecast with BellSouth as part of the interconnection
16 agreement between the parties.

17
18 **Q. HOW WOULD BELLSOUTH BENEFIT FROM A BINDING
19 FORECAST ARRANGEMENT?**

20 **A.** Pursuant to a binding forecast, ITC^DeltaCom will pay BellSouth
21 for making the increased capacity available in stages, whether or
22 not ITC^DeltaCom actually fills that capacity. The benefit for
23 BellSouth is that it can build out its network without fearing that it
24 will not be able to recoup its investments if the forecasts in the

1 interconnection agreement are inaccurate. ITC^DeltaCom would
2 cover BellSouth's costs in the event ITC^DeltaCom fell short of the
3 binding forecast. I urge the Commission to direct BellSouth to
4 enter into a binding forecast with ITC^DeltaCom within the
5 interconnection agreement between the parties and require
6 penalties should the requirements of the binding forecast not be
7 met.

8
9 **Q. WHAT IS ITC^DELTA COM'S POSITION ON NXX TESTING?**

10 **A.** Due to errors and omissions in BellSouth translations of
11 ITC^DeltaCom NXX codes, ITC^DeltaCom has found it necessary to
12 dispatch technicians to remote locations so that they could place test
13 calls through local service provided by BellSouth to insure that the
14 translations have been correctly installed by BellSouth. A request
15 was made in late 1997 for BellSouth to assist in the testing of
16 translations. BellSouth responded by recommending that
17 ITC^DeltaCom place orders for FX lines or Centrex service to every
18 BellSouth end office if we wanted to gain access to the BellSouth
19 switches to test our NXX codes.

20 Establishing FX or Centrex service to the hundreds of BellSouth end
21 offices is not cost effective for ITC^DeltaCom and would not be cost
22 effective for BellSouth if they were placed in a similar position.
23 ITC^DeltaCom recommends that BellSouth provide access to the
24 BellSouth FX test network that BellSouth uses today for responses to

1 trouble tickets. At a minimum, ITC^DeltaCom should have automated
2 tests of the NXX codes in all end offices with correction of any errors
3 or omissions found during those tests. This level of testing is
4 necessary to assure that the quality of the network is maintained at
5 high levels.

6

7 **Q. PLEASE EXPLAIN THE PRINCIPLE THAT ITC^DELTACOM'S**
8 **REPUTATION COULD BE HARMED BY BELLSOUTH'S**
9 **FAILURE TO PROVIDE PARITY SUCH THAT ITS ABILITY TO**
10 **ATTRACT FUTURE CUSTOMERS WOULD BE DIMINISHED.**

11 **A.** ITC^DeltaCom as a competitor in the local telecommunications
12 market must overcome two enormous hurdles (over and above
13 facing an established competitor who serves nearly 100% of the
14 customers) in order to succeed.

15

16 First, the local telecommunications marketplace is a marketplace
17 defined by quality. Customers, especially customers who feel they
18 are "taking a chance" with a new carrier, require that their
19 telecommunications service work well and without delay. For many
20 businesses, a single minute without telephone service can severely
21 harm their business; hence, a new carrier may only get one chance
22 to prove that it can provide the required services at the required
23 level of quality. Likewise, one failure to do so can easily brand a

1 carrier as a "non-performer," even if the actual failure was on the
2 part of the carrier's wholesale provider (e.g., BellSouth).

3

4 Second, new carriers by definition don't have a long tenure in the
5 marketplaces in which they can attempt to attract customers;
6 therefore, one "bad" incident involving the quality of their service
7 may be the only circumstance on which their entire reputation is
8 based. Incumbent LECs such as BellSouth, on the other hand,
9 have years of service behind them such that one bad incident can
10 be seen as a single, isolated occurrence to be overlooked. The
11 importance of a CLEC's reputation, and the need for specific
12 performance standards to which the ILEC must be held in order to
13 protect the CLEC's reputation, cannot be emphasized enough.

14

15 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

16 **A.** Yes. However, I reserve the right to address any issues raised by
17 BellSouth and to supplement my testimony as necessary upon
18 production of any discovery requests.

19

20

21

1 Q. PLEASE STATE YOUR NAME, POSITION AND BUSINESS
2 ADDRESS.

3 A. My name is Thomas Hyde. I am Senior Manager – Industry Relations
4 for ITC^DeltaCom Communications Inc., (“ITC^DeltaCom”). My
5 business address is 1530 DeltaCom Drive Anniston, Alabama 36202.

6
7 Q. ARE YOU THE SAME THOMAS HYDE THAT FILED DIRECT
8 TESTIMONY IN THIS PROCEEDING?

9 A. Yes.

10

11 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?

12 A. I will rebut certain testimony filed by BellSouth in this docket.

13

14 Issue 7: [ITC^DeltaCom Issue 2(b)(ii)] – Until the Commission makes a
15 decision regarding UNEs and UNE combinations, should BellSouth be
16 required to continue providing those UNEs and combinations that it is
17 currently providing to ITC^DeltaCom under the interconnection
18 agreement previously approved by this Commission?

19

20 Q: WITNESS VARNER STATES THAT BELLSOUTH SHOULD BE ABLE
21 TO DECIDE WHICH COMBINATIONS IT WILL OFFER IN SEPARATE
22 COMMERCIAL AGREEMENTS UNTIL THE FCC ISSUES ITS NEW
23 ORDER ON UNES. DO YOU AGREE WITH HIS POSITION?

1 **A:** No. First, I believe that this Commission has all necessary authority to
2 require the Parties to maintain the status quo until the FCC's final
3 decision on UNEs is issued. Again, ITC^DeltaCom simply wants to
4 maintain the status quo until the FCC order on UNEs and any UNE
5 combinations is issued.

6

7 **Q. WHAT IS ITC^DELTACOM'S POSITION ON BELLSOUTH'S OFFER**
8 **TO PROVIDE CERTAIN UNE COMBINATIONS?**

9 **A.** The list of UNEs that BellSouth has "volunteered" to combine involve
10 only those that BellSouth has refused to allow ALECs to directly
11 connect to. A UNE will not work by itself – it must be connected to
12 something to work. If BellSouth refuses to allow an ALEC to directly
13 connect to any UNE, BellSouth *must* provide that UNE combined to
14 another UNE that an ALEC may connect to. In other words, if
15 BellSouth had not "volunteered" to combine those UNEs the
16 appropriate regulatory authorities would certainly have ordered
17 BellSouth to either combine them or else allow direct connection to
18 those UNEs.

19

20 Issue 8(a): [ITC^DeltaCom Issue 2(b)(iii)] – Should BellSouth be
21 required to provide ITC^DeltaCom extended loops or the loop/port
22 combination?

23

1 Q. WITNESS VARNER STATED THAT BELLSOUTH IS WILLING TO
2 PROVIDE COMBINATIONS IN A "SIDEBAR" AGREEMENT. HAS
3 BELLSOUTH MADE SUCH A PROPOSAL TO ITC^DELTACOM?

4 A. Yes. However, the "sidebar" agreement that BellSouth presented to
5 ITC^DeltaCom did not address ITC^DeltaCom's extended loops.
6 ITC^DeltaCom requested that BellSouth offer ITC^DeltaCom a solution
7 that would address our extended loops. BellSouth has failed to do so.

8
9 Q. WITNESS VARNER HAS STATED THAT BELLSOUTH HAS NO
10 OBLIGATION TO PROVIDE EXTENDED LOOPS. DO YOU AGREE?

11 A. No. The current interconnection agreement, paragraph IV B14 states:

12 "The parties shall attempt in good faith to mutually devise and
13 implement a means to extend the unbundled loop sufficient to
14 enable DeltaCom to use a collocation arrangement at one
15 BellSouth location per LATA (e.g., tandem switch) to obtain
16 access to unbundled loop(s) at another such BellSouth location
17 over BellSouth facilities."

18 There is no way to comply with the provisions of VI B14 except to
19 provide extended loops. I do not understand how BellSouth can
20 reconcile the good faith provisions of the existing Commission approved
21 interconnection agreement and still claim that they have no obligation to
22 continue to provide the service.

1 BellSouth has provided ITC^DeltaCom more than two thousand five
2 hundred extended loops. It is difficult to comprehend how a company
3 such as BellSouth could provide ITC^DeltaCom more than 2500
4 extended loops under the provisions of paragraph IV B14 and still claim
5 that it was under no obligation to continue to do so. In order to maintain
6 the status quo, it is necessary for BellSouth to continue to provide
7 extended loops to ITC^DeltaCom. Even more disturbing is Mr. Varner's
8 statement in his testimony in other jurisdictions¹ that "BellSouth never
9 intended to provide ITC^DeltaCom with extended loops." If we are to
10 believe that the provision of more than 2500 extended loops by
11 BellSouth was "just a mistake", it would now appear that BellSouth
12 never intended to honor the good faith negotiation provision of
13 paragraph IV B14 of the existing agreement.

14

15 **Q. HOW DID ITC^DELTACOM START THE EXTENDED LOOP**
16 **PROCESS WITH BELLSOUTH?**

17 **A.** Shortly after the interconnection agreement was signed, ITC^DeltaCom
18 went to BellSouth with our proposed extended loop arrangement.
19 BellSouth accepted that arrangement and began installing service.
20 BellSouth continued to accept orders for extended loops until March of
21 1999 when ITC^DeltaCom complained about the quality of service
22 being provided.

¹ See, for example, Page 30 Line 20 of the Direct Testimony of Alphonso J. Varner before the Public Service Commission of South Carolina, Docket 1999-259-C filed August 25, 1999.

1 Q. WHAT IS ITC^DELTACOM'S POSITION ON BELLSOUTH'S CLAIM
2 ON PAGE 24 OF WITNESS VARNER'S TESTIMONY THAT
3 EXTENDED LOOPS REPLICATE OTHER TARIFFED SERVICES
4 AND THEREFORE PROVIDING EXTENDED LOOPS WOULD
5 LOWER THE REVENUE RECEIVED FOR THOSE ALTERNATE
6 SERVICES.

7 A. Both aspects of Mr. Varner's assumption are incorrect. First, the
8 access service that Mr. Varner claims is replicated by extended loops is
9 voice grade special access. Specifically the end-link available from the
10 BellSouth Florida access "E" tariff and the BellSouth FCC Tariff No. 1
11 that combines dedicated transport with a local channel to the end-user's
12 premises. The BellSouth access tariffs offer voice grade service in
13 several different technical specification packages. Not a single one of
14 those packages is available for UNEs. Instead, the technical
15 specifications for UNEs are limited by BellSouth to those in the
16 BellSouth developed UNE technical specifications. Those UNE
17 specifications are inferior to the specifications provided for any one of
18 the special access packages. In addition, the special access trouble
19 restoration target is two hours. The UNE trouble restoration target is
20 twenty-four hours.

21
22 BellSouth would have this Commission believe that the UNEs provided
23 by BellSouth with an inferior grade of technical parameters and with

1 trouble restoration that is *twelve* times longer than access are equal.
2 Combinations of UNEs no more replicate tariffed services than a
3 Chevrolet replicates a Rolls Royce. Certainly both are cars, but there is
4 a tremendous amount of difference between them and those
5 differences are reflected in their prices. There is just as much
6 difference between combinations of UNEs and tariffed services. It is
7 interesting to note that on page 5 of Witness Milner's testimony that
8 BellSouth recognizes that if a ALEC needs the technical specifications
9 of a tariffed private line or access service, the ALEC may request,
10 through a Bona Fide Request (BFR), and at an additional cost, those
11 additional transmission parameters that would make a UNE equal to a
12 tariffed service. Until such time as BellSouth provides combinations of
13 UNEs with the same quality of service and the same trouble restoration
14 parameters as access, BellSouth will have no justification to their claim
15 that combinations of UNEs replicates access service (or any other
16 tariffed service). Second, the UNE loops provided by BellSouth are of
17 course priced at the UNE rates. However, BellSouth is not foregoing
18 any access revenue on the transport provided as part of the extended
19 loops.

20

21 **Q. HAS BELL SOUTH THREATENED TO DISCONNECT**
22 **ITC^DELTACOM's EXISTING CUSTOMERS SERVED VIA**
23 **EXTENDED LOOPS?**

1 **A.** Yes. As I stated above, after ITC^DeltaCom complained about the
2 service quality of the extended loops, BellSouth started rejecting orders
3 for extended loops. BellSouth then threatened to disconnect all existing
4 extended loops. With the threat of loss of service to more than 2500
5 loops – some of which had been in service more than one year,
6 ITC^DeltaCom had no choice but to file collocation applications for
7 more than 50 BellSouth central offices to prevent disruption of service
8 to ITC^DeltaCom's customers. ITC^DeltaCom was never given any
9 reassurance that BellSouth would leave the existing extended loops in
10 service even long enough to convert to non-extended loops.
11 ITC^DeltaCom respectfully requests this Commission to maintain the
12 status quo and require the provision of extended loops in Florida
13 pending the final decision of the FCC in the UNE proceeding.

14

15

Issue 39 and Issue 40: [ITC^DeltaCom Issue 6(b)]

16

39. What are the appropriate recurring and non-recurring rates and
17 charges for: (a) two-wire ADSL/HDSL compatible loops, (b) four wire
18 ADSL/HDSL compatible loops, or (c) two-wire SL1 loops.

19

40. Should BellSouth be required to provide: (a)(1) two-wire SL2 loops
20 or (a)(2) two-wire SL2 loop Order Coordination for Specified Conversion
21 Time? (b) If so, what are the appropriate recurring and non-recurring
22 rates and charges?

1 **Q. BELLSOUTH'S POSITION ON ADSL RATES IS THAT THE RATES**
2 **CONTAINED IN THE APRIL 29, 1998 ORDER SHOULD APPLY. DO**
3 **YOU AGREE?**

4 **A.** No. The non-recurring charge (NRC) for ADSL should be the NRC for
5 an equivalent voice grade loop plus an incremental cost for checking to
6 see if the loop will meet the ADSL criteria. BellSouth does not provide
7 any conditioning, or additional work of any type beyond that necessary
8 for an equivalent voice grade UNE loop, on the ADSL loop as part of
9 the basic ADSL loop NRC. Any conditioning performed by BellSouth to
10 make a loop ADSL compatible is charged separately under special
11 construction charges. These special construction charges are usually
12 for removing any load coils and bridge taps from the loop.

13
14 **Q. HOW IS AN ADSL COMPATIBLE UNE LOOP DIFFERENT FROM**
15 **ADSL SERVICE OR A VOICE GRADE UNE LOOP?**

16 **A.** ADSL is an overlay service placed on voice grade facilities. That is
17 correct whether BellSouth provides ADSL on an existing exchange
18 service (via an ADSL compatible loop) or a ALEC provides ADSL on an
19 ADSL compatible UNE loop. The advanced service associated with
20 ADSL is a function of the central office and customer premises
21 equipment, not a function of the loop. The loop itself is old copper
22 technology (BellSouth's first copper pair loop installed over one
23 hundred years ago was ADSL compatible). Since ADSL is only an

1 overlay on voice grade loops, BellSouth's claim that ADSL is always a
2 designed service is based on BellSouth's faulty assumptions. ADSL
3 may be an overlay to an undesigned SL1 loop (as BellSouth chooses to
4 provide for itself) or it may be an overlay to a designed SL2 (as
5 ITC^DeltaCom intends to order). Thus, the appropriate NRC for ADSL
6 is the NRC for an equivalent voice grade loop plus an incremental cost
7 for checking to see if the loop will meet the ADSL criteria.

8

9 **Q. BELLSOUTH COST STUDIES FOR ADSL ASSUMES THAT A**
10 **DISPATCH IS ALWAYS REQUIRED ON ADSL UNE LOOPS AND**
11 **THAT ADSL LOOPS ARE ALWAYS DESIGNED. DO YOU AGREE?**

12 **A.** No. It is important to note that the dispatch assumed by BellSouth is
13 the same dispatch that is necessary for the installation of a loop
14 regardless of whether or not that loop is the BellSouth retail exchange
15 service loop or a UNE loop. Dispatch of a technician to the customer
16 premises for ADSL alone is more a function of non-regulated customer
17 premises equipment than of the loop itself. If an end user is served by
18 an existing non-loaded copper facility (plain old copper wire), no
19 dispatch is required to convert that end user to ADSL UNE loops. If
20 that end user is not served by an existing non-loaded copper facility,
21 then ITC^DeltaCom will be required to pay special construction charges
22 that will cover any dispatch required to "condition" the loop.

1 This claim by BellSouth that dispatch is required 100% of the time on
2 ADSL compatible UNE loops also illustrates the lack of a forward-
3 looking cost study. BellSouth assumed in their cost study that there
4 would not be any BellSouth ADSL service that could be lost to
5 competition. At the time the cost study was filed, that may have
6 represented the existing, historical condition. However, today there are
7 BellSouth ADSL customers in Florida and a forward-looking study
8 would have allowed for competitive losses to those existing BellSouth
9 ADSL customers. Conversion of an existing BellSouth ADSL service to
10 ADSL UNE loop would not require a dispatch since the loop is already
11 ADSL compatible. Work would only be required in the central office.
12 BellSouth also failed to take into account those existing BellSouth
13 exchange service customers served by an ADSL compatible (plain old
14 copper) loop that would convert to an ALEC service and add the ADSL
15 capability. These situations would also not require dispatch. In
16 addition, there will be some quantity of idle ADSL compatible spare
17 loops already connected to NIDs that will not require dispatch. The end
18 result of the position taken by BellSouth is the raising of artificial, anti-
19 competitive barriers to ALEC entry into the ADSL market.

20

21 **Q. WHY DID YOU REFERENCE THE NRC ASSOCIATED WITH**
22 **BELLSOUTH'S ADSL SERVICE IN THEIR FCC TARIFF NO. 1?**

1 A. The ⁵⁰~~\$100~~ NRC for ADSL service in BellSouth's FCC Tariff No. 1
2 contains costs for at least two functions. The majority of the costs are
3 associated with installation of the central office ADSL equipment and
4 connection of that equipment with transport Permanent Virtual Circuits
5 (PVCs). A very small portion of the costs are to verify through loop
6 records that the loop is "plain old copper" without such equipment as
7 load coils and bridge taps. That very small percentage of the ADSL
8 service NRC costs would also apply to ADSL UNE loop NRC costs.
9 BellSouth has not yet furnished those cost studies so I cannot
10 determine the exact amount of the additive, but it could be as low as \$1
11 or \$2. This cost should then be added to the appropriate voice grade
12 UNE loop NRC cost.

13
14 **Q. HAS BELL SOUTH PRODUCED AN APPROPRIATE VOICE GRADE**
15 **UNE LOOP NRC COST TO APPLY TO ADSL?**

16 A. No. In their recurring ADSL cost study BellSouth has recognized that
17 the extra costs associated with digital loop carrier are not appropriate to
18 ADSL since ADSL will not work with digital loop carrier and also that the
19 ADSL loops are shorter and thus less costly. Those costs are reflected
20 in ADSL recurring rates that are less than voice grade rates. There are
21 extra NRC costs associated with digital loop carriers that must also be
22 removed from any costs associated with ADSL NRCs.

23

1 **Q. ARE YOU RECOMMENDING ANY NON-RECURRING CHARGES TO**
2 **THE FLORIDA COMMISSION?**

3 **A.** Yes. Attached as Rebuttal Exhibit TAH-4 are Non-Recurring Charges
4 (NRC) for 2-Wire Voice Grade SL1, 2-Wire Voice Grade SL2 and
5 ADSL/HDSL Compatible loops. These costs were developed using
6 BellSouth's cost calculator with modified inputs. The inputs were
7 modified are as follows:

- 8 • Additional loop work times were adjusted to reflect efficiencies of
9 multiple loops on a single order (Typically by reducing the additional
10 worktime by 50% until BellSouth can file cost studies reflecting
11 those efficiencies)
- 12 • The ADSL modifications used the Voice Grade SL2 costs and
13 added time for verifying the facilities for ADSL compatibility (This
14 does not mean that ADSL requires an SL2, only that ITC^DeltaCom
15 plans to use the SL2 for the ADSL overlay. As mentioned above,
16 this methodology results in an overstatement of ADSL costs
17 because the SL2 NRC includes incremental costs associated with
18 subscriber line carrier that will not be included on any ADSL loop.)
19 The ADSL/HDSL disconnect costs would be the same as Voice
20 Grade loops.

21 The NRCs on Rebuttal Exhibit TAH-4 represent a first step toward
22 actual forward-looking costs, but still contain some unnecessary costs

1 which cannot be identified until BellSouth files a cost study that
 2 complies with the FCC's reinstated rules.

3

4 Issue 1: [ITC^DeltaCom Issue 1(a)] Should BellSouth be required to
 5 comply with the performance measures and guarantees for pre-
 6 ordering/ordering, resale, and unbundled network elements ("UNEs"),
 7 provisioning, maintenance, interim number portability and local number
 8 portability, collocation, coordinated conversions and the bona fide
 9 request processes as set forth fully in Attachment 10 of Exhibit A to this
 10 Petition?

11

12 **Q: WHY ARE PERFORMANCE GUARANTEES NEEDED?**

13 **A:** Performance guarantees are not a new concept as BellSouth provides
 14 such guarantees in its tariffs today. ITC^DeltaCom believes that it is
 15 critical for local competition and for the purposes of executing this
 16 interconnection agreement that performance measures and guarantees
 17 are included and filed and approved by this Commission.

18

19 Issue 3(b)(2): [ITC^DeltaCom Issue 2] Pursuant to the definition of
 20 parity, should BellSouth be required to provide UNEs?

21

22 **Q. ON PAGE 19 WITNESS VARNER CLAIMS THAT PARITY WITH**
 23 **RETAIL IS NOT POSSIBLE BECAUSE BELL SOUTH DOES NOT**

1 **PROVIDE ITSELF UNES. IS THIS A VALID OBJECTION?**

2 **A.** No. As I am sure this Commission is aware, a similar situation occurred
3 with intraLATA toll. Access rates were imputed to the toll rates because
4 the ILECs did not bill themselves access. Access functions are, of
5 course, required for toll to interconnect with the public switched
6 network. The situation is the same with local service. Even though
7 BellSouth does not bill itself UNE rates for the local service they
8 provide, the loop and switch UNE functions are required for any
9 BellSouth retail local service to function. BellSouth realizes that local
10 service is made up of combinations of UNE equivalents since they have
11 gone to great lengths to try to substantiate their claims that a
12 combination of loop and port UNEs is the same as local retail service.
13 There are other BellSouth retail services that require the transport
14 function in addition to the loop and switch function. Therefore, even if
15 BellSouth does not “provide UNEs to themselves”, they provide
16 functionally identical facilities and equipment. Claims to the contrary
17 would amount to using semantics to play games with reality.
18 The maintenance parameters for UNEs, just as it is with access, should
19 be set at a more stringent level than the end-to-end retail service in
20 order to have equal treatment. ITC^DeltaCom has not requested the
21 maintenance parameters to be set at the more appropriate end link
22 levels, but has held that ITC^DeltaCom could compete effectively with
23 only retail parity.

1 At this time ITC^DeltaCom is not requesting this Commission to
2 immediately impute UNE rates to local service due to the significant
3 levels of retail rate shock that would occur. However, unless BellSouth
4 demonstrates willingness to provide UNEs at parity with its retail
5 services and at rates that allow meaningful competition to develop,
6 ITC^DeltaCom recommends that this Commission establish a generic
7 docket to consider phasing in the imputation of UNE rates to local
8 services.

9
10 Issue 2: [ITC^DeltaCom Issue1(b)] Should BellSouth be required to
11 waive any nonrecurring charges when it misses a due date?

12
13 **Q. BELLSOUTH OBJECTS TO WAIVER OF NON-RECURRING**
14 **CHARGES WHEN BELLSOUTH MISSES A DUE DATE. HOW DID**
15 **ITC^DELTACOM DEVELOP THIS CONCEPT?**

16 **A.** ITC^DeltaCom did not develop the concept of non-recurring charge
17 waiver. BellSouth currently has performance guarantees in its tariffs.
18 See Rebuttal Exhibit CJR-4 for copies of those tariffs. As part of those
19 performance guarantees, BellSouth agrees to waive the non-recurring
20 charges when a due date is missed. ITC^DeltaCom recommends that
21 those same performance guarantees be extended to include UNEs.

22

1 Issue 3(b)(5): [ITC^DeltaCom Issue 2(a)(iv)] – Pursuant to the definition
2 of parity, should BellSouth be required to provide an unbundled loop
3 using Integrated Digital Loop Carrier (IDLC) technology?
4

5 **Q. BELLSOUTH WITNESSES VARNER AND MILNER STATE THAT**
6 **LOOP UNES CANNOT BE PROVIDED VIA IDLC. IS THIS**
7 **CORRECT?**

8 **A.** No. BellSouth is currently providing ITC^DeltaCom loop UNEs via the
9 “side door” IDLC methodology that splits the loop off the switch. The
10 quantities are small but are proof that the methodology is valid.
11 BellSouth installed these IDLC UNE loops at their own discretion and
12 ITC^DeltaCom was not informed. ITC^DeltaCom only found out about
13 the IDLC provisioning during tests for service turn-up. However, if it
14 works for these instances, it will work in other instances and should be
15 mandated for more extensive use. BellSouth’s claims that the non-
16 IDLC loops that it provides “meets the technical criteria for that loop” is
17 disingenuous since the technical criteria used is BellSouth’s criteria and
18 does not provide the required parity for full competition.

19 In addition, BellSouth claims that “ When BellSouth’s retail customers
20 are served via Integrated Digital Loop Carrier (“IDLC”), BellSouth
21 should and does make those loops available to CLPs...” In reality,
22 BellSouth does not make those loops available but instead provides the
23 UNE loop on different (non-IDLC) facilities that are frequently of a lower

1 quality. This Commission should require BellSouth to provide IDLC
2 loops with digital connectivity.

3

4 Issue 8: [ITC^DeltaCom Issue 2(b)(i)] Pursuant to the definition of
5 parity, should BellSouth be required to provide priority guidelines for
6 repair and maintenance and UNE provisioning?

7

8 **Q: DOES BELLSOUTH STATE THAT IT CAN PROVIDE THE SAME
9 PRIORITY TO ITC^DELTACOM CUSTOMERS SERVED VIA UNES?**

10 **A:** ITC^DeltaCom is pleased to learn that BellSouth will provide the same
11 restoration as provided to BellSouth's retail customers. ITC^DeltaCom
12 believes that sufficient guidelines for this restoration do not currently
13 exist. ITC^DeltaCom will gladly negotiate with BellSouth to develop
14 these guidelines.

15

16 Issues 9 and 10: [ITC^DeltaCom Issue 2(b)(iv)] 9. Should BellSouth be
17 required to provide UNE testing results to ITC^DeltaCom? If so, how?
18 10. Should the parties be required to perform cooperative testing within
19 two hours of a request from the other party?

20

21 **Q: WHAT IS ITC^DELTACOM'S POSITION ON THESE ISSUES?**

1 **A:** It is my understanding that these issues has been resolved by the
2 parties; however, ITC^DeltaCom reserves the right to file supplemental
3 testimony on these issues, should they be further disputed.
4

5 Issue 11: [ITC^DeltaCom Issue 2(c)(l)] Should BellSouth be required to
6 provide NXX testing functionality to ITC^DeltaCom? If so, how?
7

8 **Q. WHAT IS ITC^DELTACOM'S POSITION ON NXX TESTING?**

9 **A.** Due to errors and omissions in BellSouth translations of ITC^DeltaCom
10 NXX codes, ITC^DeltaCom has found it necessary to dispatch
11 technicians to remote locations so that they could place test calls
12 through local service provided by BellSouth to insure that the
13 translations have been correctly installed by BellSouth. In fact, in four
14 out of the last five NXXs implemented by ITC^DeltaCom in Florida
15 BellSouth has failed to implment the proper translations in their offices.
16 These BellSouth errors were not discovered until ITC^DeltaCom began
17 to install service to end-users. A request was made in late 1997 for
18 BellSouth to assist in the testing of translations. BellSouth responded
19 by recommending that ITC^DeltaCom place orders for FX lines or
20 Centrex service to every BellSouth end office if we wanted to gain
21 access to the BellSouth switches to test our NXX codes.
22 Establishing FX or Centrex service to the hundreds of BellSouth end
23 offices is not cost effective for ITC^DeltaCom and would not be cost

1 effective for BellSouth if they were placed in a similar position.
2 ITC^DeltaCom recommends that BellSouth provide access to the
3 BellSouth FX test network that BellSouth uses today for responses to
4 trouble tickets. At a minimum, ITC^DeltaCom should have automated
5 tests of the NXX codes in all end offices with correction of any errors or
6 omissions found during those tests. This level of testing is necessary to
7 assure that the quality of the network is maintained at high levels.
8 ITC^DeltaCom has recommended a solution to this problem to
9 BellSouth using a Remote Call Forwarding methodology and is waiting
10 on a response from BellSouth.

11

12 Issue 12: [ITC^DeltaCom Issue 2(c)(ii)] – What should the installation
13 interval for the following loop cutovers: (a) single; (b) multiple?

14

15 **Q. HAS BELLSOUTH CORRECTLY STATED ITC^DELTACOM'S**
16 **POSITION ON THE ISSUE OF 15 MINUTE CUTOVERS?**

17 **A.** No. ITC^DeltaCom agrees that the complete cutover may take longer
18 that 15 minutes depending on, among other things, the number of loops
19 involved. ITC^DeltaCom's position is that the customer's service
20 should not be interrupted longer that 15 minutes between the
21 disconnection of the old service and the connection of BellSouth's
22 facilities to ITC^DeltaCom's collocation space. Any problems occurring
23 in ITC^DeltaCom's facilities or equipment would not count as part of the

1 15 minute interval. If the proper preparation work is completed prior to
2 disconnecting the customer's existing service, this parameter will not be
3 difficult for BellSouth to meet. This language exists in the current
4 interconnection agreement and should be continued to the new
5 agreement.

6

7 Issue 14: [ITC^DeltaCom Issue 2(c)(iv)] Should the party responsible
8 for delaying a cutover also be responsible for the other party's
9 reasonable labor costs?

10

11 **Q: DO THE PARTIES OPERATE UNDER THIS PROCEDURE TODAY?**

12 **A:** Yes. Although Mr. Varner states that this provision should not be
13 included in the interconnection agreement, what he does not mention is
14 that the parties have operated with this provision in the existing
15 interconnection agreement for the past two years. ITC^DeltaCom
16 recommends that this Commission order the continuation of the existing
17 procedures.

18

19 Issue 16: [ITC^DeltaCom Issue 2(c)(vi)] – Should each party be
20 responsible for the repair charges for troubles caused or originated
21 outside of its network? If so, how should each party reimburse the
22 other for any additional costs incurred for isolating the trouble to the
23 other's network?

1 Q. DOES ITC^DELTA COM AGREE TO BEAR THE COST OF TROUBLE
2 ISOLATION TO A THIRD PARTY'S NETWORK

3 A. The Parties have resolved this issue.
4

5 Q. HAS BELLSOUTH CORRECTLY STATED ITC^DELTA COM'S
6 POSITION ON ADDITIONAL COSTS ASSOCIATED WITH TROUBLE
7 ISOLATION TO BELLSOUTH'S NETWORK?

8 A. No. BellSouth should reimburse ITC^DeltaCom is if there is a second
9 referral on the same trouble. In other words, after ITC^DeltaCom
10 correctly isolates the trouble to BellSouth's network but BellSouth fails
11 to repair the trouble and ITC^DeltaCom is required for a second time to
12 isolate the same trouble to BellSouth's facilities. ITC^DeltaCom should
13 not be penalized for BellSouth's inability to repair troubles. In addition,
14 this would be reciprocal with BellSouth's charges to ITC^DeltaCom
15 when ITC^DeltaCom incorrectly isolates the trouble to BellSouth's
16 network.

17 Issue 18: [ITC^DeltaCom Issue 2(c)(ix)] If a customer orders a loop
18 which requires special construction charges be paid for by
19 ITC^DeltaCom, and BellSouth reuses the same facilities to provide
20 service to the customer for itself or on behalf of another ALEC, should
21 BellSouth be required to refund ITC^DeltaCom the amount
22 ITC^DeltaCom paid to BellSouth for Special Construction charges for
23 that customer?

1 **Q: WHAT IS ITC^DELTACOM'S POSITION ON THIS ISSUE?**

2 **A:** ITC^DeltaCom has agreed to remove this issue from arbitration as a
3 result of further negotiations with BellSouth.
4

5 Issue19: [ITC^DeltaCom Issue 2(c)(x)] Under what conditions, if any,
6 should BellSouth be required to reimburse any costs incurred by
7 ITC^DeltaCom to accommodate modifications made by BellSouth to an
8 order after sending a firm order confirmation ("FOC")?
9

10 **Q: DOES BELLSOUTH EVER MODIFY ITC^DELTACOM'S ORDER**
11 **AFTER ISSUING AN FOC?**

12 **A:** Yes. Often BellSouth modifies the due date on the FOC due date itself
13 after ITC^DeltaCom has dispatched its central office and customer
14 premises technicians to work the order (as well as arranging for third
15 party vendors to be dispatched to the customer premises). However,
16 the Parties have resolved this issue.
17

18 Issue20: [ITC^DeltaCom Issue 2(c)(xiv)] (a) Should BellSouth be
19 required to coordinate with ITC^DeltaCom 48 hours prior to the due
20 date of a UNE conversion? ~~(b) If BellSouth delays the scheduled~~
21 ~~cutover date, should BellSouth be required to waive the applicable non-~~
22 ~~recurring charges? (c) Should BellSouth be required to perform dial~~
23 ~~tone tests at least 48 hours prior to the scheduled cutover date?~~

1 Q: WHAT IS ITC^DELTA COM'S POSITION ON THESE ISSUES?

2 A: Until BellSouth is able to meet scheduled due dates on a consistent
3 basis, coordination prior to the due date is necessary. By requiring
4 BellSouth to coordinate with ITC^DeltaCom prior to the due date,
5 ITC^DeltaCom will no longer be required to dispatch technicians only to
6 find out that BellSouth is not ready to work the order.

7 ~~The issue of waiver of NRCs was addressed in my response to Issue 2~~
8 ~~[ITC^DeltaCom Issue 1(b)] above.~~

9 ~~ITC^DeltaCom will continue to negotiate the issue of dial tone tests with~~
10 ~~BellSouth.~~

11

12 Issue 33: [ITC^DeltaCom Issue 3(l)] Should the Parties establish
13 escalation procedures for ordering/provisioning problems?
14

15 Q: PLEASE STATE ITC^DELTA COM'S POSITION.

16 A: ITC^DeltaCom is willing to close this issue subject to the revision that
17 BellSouth will use best efforts to provide notice of modification within
18 ten days.

19

20 Issue 37: [ITC^DeltaCom Issue 4(c)] Should ITC^DeltaCom and its
21 agents be subject to stricter security requirements than those applied to
22 BellSouth's agents and third party outside contractors?
23

1 Q. BELLSOUTH STATES THAT THE SECURITY REQUIREMENTS
2 IMPOSED ON ITC^DELTACOM ARE AT PARITY TO THAT WHICH
3 BELLSOUTH IMPOSES ON ITSELF AND OTHERS. DO YOU
4 AGREE WITH THIS ASSESSMENT?

5 A. It is my understanding that this issue has been resolved by the parties;
6 however, ITC^DeltaCom reserves the right to file supplemental
7 testimony on this issue, should it be further disputed.

8

9 Issue 50: [ITC^DeltaCom Issue 5] Should the parties continue operating
10 under existing local interconnection arrangements? (a) Should the
11 current interconnection agreement language continue regarding cross-
12 connect fees, reconfiguration charges or network redesigns, and NXX
13 translations? (b) What should be the definition of the terms local traffic,
14 and trunking options? (c) What parameters should be established to
15 govern routing ITC^DeltaCom's originating traffic and each party's
16 exchange of transit traffic? (d) Should the parties implement a
17 procedure for binding forecasts?

18

19 Q. HAS BELLSOUTH ADDRESSED ALL ISSUES CONCERNED WITH
20 ATTACHMENT 3 AND LISTED AS UNRESOLVED IN EXHIBIT B?

21 A. No. At the time of the filing of this petition, BellSouth was reviewing
22 ITC^DeltaCom's proposed language. Thus, in order to preserve these
23 issues, ITC^DeltaCom generally requested the same interconnection

1 language that is in our current agreement as part of issue 5.
2 ITC^DeltaCom then listed each section of the proposed language it
3 provided BellSouth that it understood as open and under review as an
4 unresolved issue in Exhibit B.

5
6 The parties are currently negotiating Attachment 3. Rather than
7 address all issues in Exhibit B that are still undecided, I request that I
8 be able to update and supplement my testimony to the extent
9 necessary to adequately address any unresolved issues.

10
11 **Q. WHAT IS ITC^DELTACOM'S POSITION ON THE EXISTING**
12 **AGREEMENT?**

13 **A.** At the commencement of negotiations for the new agreement BellSouth
14 scrapped the existing agreement in its entirety. The current agreement
15 was a functional agreement. It did have areas that needed changes.
16 However BellSouth is attempting, through the new "template" to take
17 away numerous provisions that are in the existing agreement and that
18 were the result of the original negotiations. The proper starting point for
19 a new agreement is the existing agreement.

20
21 **Q. WHAT IS ITC^DELTACOM'S POSITION ON BINDING FORECASTS?**

22 **A.** BellSouth should be required to accept binding forecasts. In Florida,
23 BellSouth refused to accept ITC^DeltaCom's forecast until

1 ITC^DeltaCom provided proprietary customer information. In other
2 instances BellSouth has refused to provide sufficient trunks to cover the
3 ITC^DeltaCom forecast. BellSouth's reason was stated to be that since
4 ITC^DeltaCom's existing trunks were at capacity, ITC^DeltaCom could
5 not have any more trunks. ITC^DeltaCom's forecast was based on
6 information about customers with whom ITC^DeltaCom already had
7 contracts. ITC^DeltaCom delayed providing service to those customers
8 to keep from overloading the network. Without binding forecasts
9 BellSouth's position on installing trunks for ALECs becomes a "self-
10 fulfilling prophecy" - unless the ALEC is willing to continue adding
11 usage until the network is overloaded and poor service is provided due
12 to blocked calls. In other words, unless the ALEC's service is poor
13 because of the blocking of traffic, BellSouth will not honor forecasts.
14 ITC^DeltaCom will not add new customers if it will cause degradation of
15 the network. The mandating of binding forecasts by this Commission
16 will stop BellSouth from limiting the growth of competition.

17
18 Issue 44: [ITC^DeltaCom Issue 7(b)(ii)] What procedures should
19 ITC^DeltaCom and BellSouth adopt for meet-point billing?
20

21
22 **Q. PLEASE STATE ITC^DELTACOM'S POSITION.**

1 **A.** ITC^DeltaCom has agreed to delete sections 9.10 and 9.17 in recent
2 negotiations with BellSouth. With certain modifications as discussed by
3 the parties on July 14, 1999, ITC^DeltaCom believes that section 9.9
4 may be closed.

5 The issue of filing meet point percentages in the NECA tariff raised by
6 BellSouth is irrelevant. ALECs are not required to file in the NECA
7 tariff. BellSouth is free to do so if they desire. However, any "assumed
8 percentage" or "default percentage" should be set at 100% for
9 ITC^DeltaCom and 0% for BellSouth since ITC^DeltaCom either
10 provides those facilities into BellSouth's tandem offices itself or leases
11 the facilities from BellSouth.

12

13 **Q.** **DOES THIS CONCLUDE YOUR TESTIMONY?**

14 **A.** Yes. However, I reserve the right to address any issues raised by
15 BellSouth and to supplement my testimony and rebuttal testimony as
16 necessary upon production of any discovery requests.

1 **Q. HAVE YOU REVIEWED THE BELL SOUTH ADSL COST STUDIES**
2 **FILED WITH THE FCC?**

3 **A. Yes. As I discussed in my rebuttal testimony, there is not a one-for-**
4 **one comparison available for ADSL "service" costs and UNE costs.**
5 **The best comparison is to compare costs for a retail exchange line**
6 **plus the portion of the ADSL costs attributable to the service inquiry**
7 **for determining if the loop is ADSL compatible with the UNE loop**
8 **costs. This comparison will overstate the retail costs as there are**
9 **functions included in the retail plus ADSL (port, DSLAM, PVC and**
10 **ATM switch) that are not included in the UNE costs.**

11 **I will address two aspects of BellSouth's "low speed" ADSL NRC cost**
12 **study. First, the "low speed" ADSL cost study has worktimes for only**
13 **two functions. Those functions are service order and connect and**
14 **test. Worktimes for processing an inquiry to determine if the loop is**
15 **ADSL compatible are not shown in the study. Therefore, the**
16 **comparison between ADSL service cost and UNE cost cannot be**
17 **correctly made as this leads me to believe that BellSouth does not**
18 **charge for this function in their ADSL service and yet includes these**
19 **costs in their UNE costs. Second, the current NRC rate in BellSouth's**
20 **FCC tariff for "low speed" ADSL is significantly below their filed costs.**
21 **This below cost NRC rate (below cost even with some of the costs**
22 **omitted from the study) when compared with the UNE NRC rates**
23 **which contain not only the missing costs for service inquiry but also**

1 include functions that are not required for ADSL (BellSouth has also
2 admitted that ADSL is only an overlay to voice grade facilities) raise a
3 barrier to competitive entry and establish a "price squeeze" between
4 ADSL "service" rates and ADSL UNE rates with benefits accruing only
5 to BellSouth.

6 BellSouth also filed a "high speed" ADSL service. There are no
7 differences between the "low speed" ADSL and "high speed" ADSL
8 loops. Both services use the same loop. The difference is in the
9 DSLAM, PVC and ATM capabilities. A "low speed" can be changed to
10 a "high speed" without any work on the loop. Although the "high
11 speed" ADSL NRC rate is above the filed cost, the cost includes
12 functions that are in conflict with BellSouth's responses to
13 ITC^DeltaCom's First Data Requests, Items 21 and 33 in which
14 BellSouth claims that it is inappropriate to average the loop
15 conditioning and that BellSouth does not include loop conditioning in
16 its tariffed rates. BellSouth's cost study and FCC "high speed" ADSL
17 tariff rate does include averaged loop conditioning. I recommend that
18 this Commission direct BellSouth to offer the same loop conditioning
19 that is included in BellSouth's "high speed" ADSL service.

20

21

1 BY MS. EDWARDS (Continuing):

2 Q Mr. Hyde, have you prepared a summary of your
3 testimony today?

4 A Yes, I have.

5 Q Can you please proceed?

6 A Good afternoon. There are several issues that
7 I would like to summarize today. Those issues are,
8 first, parity. Even though BellSouth does not bill
9 itself the UNE rates for the local service they provide,
10 the loop and switch UNE functions are required for any
11 BellSouth retail service to be able to work. Therefore,
12 even if BellSouth does not provide UNEs to themselves,
13 they provide functionally identical facilities and
14 equipment.

15 The maintenance parameters for UNEs, just as it
16 is with access, should be set at a more stringent level
17 than the end-to-end retail service in order to have equal
18 treatment. ITC^DeltaCom has not requested the
19 maintenance parameters to be set at the more appropriate
20 end-link levels but has held that ITC^DeltaCom could
21 compete effectively with only retail parity.

22 ITC^DeltaCom recommends that this Commission require
23 BellSouth to provide UNEs at least in parity with
24 BellSouth's own service.

25 Second, NXX testing. Due to errors and

1 omissions in BellSouth's translations of ITC^DeltaCom's
2 telephone numbers, ITC^DeltaCom has found it necessary to
3 dispatch technicians to remote locations so they could
4 place test calls through local service provided by
5 BellSouth to ensure that those translations had been
6 correctly installed by BellSouth. ITC^DeltaCom
7 recommends that BellSouth either provide access to the
8 existing BellSouth FX network or to provide a remote
9 access, remote call forwarding at TELRIC prices. This
10 level of testing is necessary to ensure that the quality
11 of the network is maintained at high levels.

12 Third issue, cutover times. Language exists in
13 the current agreement that cutovers will be completed
14 within 15 minutes. With proper pre-testing, that
15 interval will not be difficult to make. I recommend that
16 this Commission adopt the language in the current
17 agreement.

18 Fourth issue, cutover coordination. Until
19 BellSouth is able to meet scheduled due dates on a
20 consistent basis, coordination prior to the due date is
21 necessary. By requiring BellSouth to coordinate with
22 ITC^DeltaCom prior to the due date, ITC^DeltaCom will no
23 longer be required to dispatch technicians only to find
24 out that BellSouth is not ready to work the order.

25 Fifth issue, IDLC equivalency. Although

1 ITC^DeltaCom is not asking for IDLC itself, we are asking
2 for the equivalent functionality, equivalent interfaces.
3 In today's increasing use of modems, IDLC equivalency
4 must be mandated. The new generation of analog modems,
5 the V.90, will not work correctly if there's more than
6 one analog to digital conversion.

7 Converting the customer from IDLC to UDLC adds
8 two additional analog to digital conversions in the CLEC
9 or ALEC's pathway. That degrades modem use on the UNE.
10 In addition, there can also be loss of feature capability
11 on the loop caused by the change from IDLC to UDLC. As
12 an example, if 35 to 40% of BellSouth's end users are
13 served by IDLC, then there may not be meaningful
14 competition for 35 to 40% of customers due to the lack of
15 IDLE quality. I recommend that this Commission require
16 BellSouth to furnish UNE IDLC equivalency for all end
17 users that are currently served by IDLC.

18 Sixth issue, ADSL, asymmetrical digital
19 subscriber loop. This is nothing more than an overlay to
20 a voice grade circuit. Granted not all voice grade loops
21 are ADSL compatible. For example, a loop that has got a
22 digital loop carrier already in it is not ADSL
23 compatible; it has got to be plain old copper wire. But
24 all ADSL compatible loops are voice grade, plain old
25 copper wire voice grade. ADSL is added with this

1 overlay. What's the overlay? It's advanced equipment in
2 the central office, advanced equipment at the customer
3 premise to use unused spectrum on that copper wire.

4 Now does it have anything to do with the loop?
5 No. This is central office and customer premise advanced
6 telecommunications equipment on very, very old
7 technology, copper loop. Therefore, the NRC, or
8 nonrecurring charge for ADSL, should be equivalent to
9 voice grade NRC. And the word "equivalent" doesn't mean
10 equal in this instance. It actually should be somewhat
11 less than the existing SL-2 voice grade rate because that
12 has a mix of digital loop carrier built into it.
13 Especially they should be equivalent with BellSouth
14 providing their own ADSL service at nonrecurring rates
15 that are below cost. Excessive NRCs can erect barriers
16 to competitive entry and should not be allowed.

17 Much has been said about a meaningful
18 opportunity to compete. If a customer has to give up
19 features, such as forward disconnect that works on
20 BellSouth IDLC and not on UDLC UNEs, or suffer modem
21 degradation on changing from that same IDLC, then the
22 ALEC is being denied a meaningful opportunity to compete.
23 If nonrecurring charges for UNEs are set too high, such
24 as the ADSL, then a barrier to meaningful competition is
25 raised. If UNEs are not maintained as well as retail,

1 then meaningful competition is not possible.

2 Seventh issue, extended loops. In the original
3 agreement, BellSouth agreed to negotiate in good faith to
4 provide a means to extend loops. Subsequent to signing
5 that agreement, BellSouth provided more than 25 hundred
6 of these extended loops region wide to ITC^DeltaCom. We
7 have set our business plan up to use these systems in
8 that manner; and, quite frankly, if this Commission wants
9 to see competition in the nonurban -- in the rural areas,
10 then extended loop is the only efficient manner in which
11 that competition can be extended. Therefore, I recommend
12 that this Commission require BellSouth to continue
13 providing ITC^DeltaCom extended loops since they are the
14 most efficient method to serve customers in the nonurban
15 and rural areas.

16 And, Commissioner Jacobs, I would like to take
17 this opportunity to respond to a question that you had
18 posed earlier to Mr. Rozycki on just what is the
19 difference between a UNE loop and an extended loop. A
20 UNE loop is nothing more than a pathway from Bell central
21 office to the end-user premise. Frequently, according to
22 some figures I'm seeing now, more than half the time it's
23 just copper wires from Bell central office to the
24 customer premise.

25 An extended loop is nothing more than taking

1 that loop and tying it off to an interoffice carrier to
2 make it a very long loop, so that we take -- and instead
3 of having to install a collocation space dedicated to us
4 in BellSouth's -- each and every BellSouth central
5 office, we can buy a DS1 to voice grade multiplexer from
6 BellSouth, lease it from them, lease DS-1 facilities,
7 interoffice, and then just tie that copper loop to the
8 interoffice facility. It's a way of extending it and
9 making it longer. That way we have the efficiency of
10 putting collocation spaces in those offices where there's
11 enough demand for it and still allow us to use that space
12 to serve a remotely located customer.

13 Now I mentioned that it would be the most
14 efficient way of serving rural and nonurban and it is.
15 It's also a very efficient way of market entry into given
16 areas in that you can go in and see is the market there.
17 When it grows enough, change it to physical collocation.
18 And as I said earlier, we already have more than 25
19 hundred of these, even though BellSouth has threatened to
20 take them away; and we have placed orders for collocation
21 spaces in the existing offices where we have extended
22 loops because of the threat to disconnect the service.
23 That concludes my summary.

24 MS. EDWARDS: The witness is available for
25 cross examination.

1 COMMISSIONER CLARK: Mr. Alexander.

2 MR. ALEXANDER: Thank you, Commissioner Clark.

3 CROSS EXAMINATION

4 BY MR. ALEXANDER:

5 Q Good afternoon, Mr. Hyde.

6 A Good afternoon, Mr. Alexander. How are you
7 today?

8 Q Well, I'm still recovering from my cold from
9 North Carolina, but I'm doing well. Thank you.

10 A I think I caught it from you, sir.

11 Q You're the second person to blame me for that.
12 In your testimony, and I'm referring to Issues
13 3(a) and 3(b)(1), the definition of parity and OSS
14 parity. In your testimony you discuss the concept of
15 parity with respect to fundamental network elements; is
16 that correct, UNEs, parity in UNEs?

17 A That's correct.

18 Q That may actually be Issue 3(b)(2) instead of
19 (1), I believe 3(b)(2) in the prehearing order; is that
20 correct, parity with UNEs?

21 A I believe that's it.

22 Q Okay. Now, Mr. Hyde, you're not an attorney,
23 are you?

24 A No, sir, I'm not.

25 Q Okay. Just from a layman's perspective, to

1 your knowledge, does the Telecommunications Act of 1996
2 use the term "parity?"

3 A Yes, it does.

4 Q Okay. Can you tell me where in the Act --

5 A No, sir, I cannot.

6 Q -- it uses parity? But you believe it does?

7 A I believe that it does. I know that the FCC
8 orders do reference parity.

9 Q All right. My question was does the 1996 Act
10 itself use the term parity?

11 A I cannot cite an instance where it does.

12 Q Okay. Have you reviewed Section 251 or 252 of
13 the Act? Have you had an occasion to review that?

14 A I have read them, but as I say, I'm not an
15 attorney, so I don't believe I should be issuing opinions
16 on it.

17 Q Well, as a general premise, since you're
18 discussing the issue of parity with respect to UNEs,
19 would you agree that Section 251(c)(3) requires that
20 incumbent local exchange companies like BellSouth provide
21 nondiscriminatory access to network elements on an
22 unbundled basis, that's the general standard.

23 MS. EDWARDS: At this time, Commissioner, if
24 opposing counsel doesn't have a copy, an extra copy
25 of the Act, I'd like to make sure Mr. Hyde, in

1 answering that question, has a copy.

2 MR. ALEXANDER: That's fine. I don't have an
3 extra copy. Just as a general concept is all I was
4 looking for anyway.

5 WITNESS HYDE: And what was that cite again,
6 Mr. Alexander?

7 BY MR. ALEXANDER (Continuing):

8 Q Section 251(b)(3).

9 A Section 251(b)(3)?

10 Q Yes, sir.

11 A Excuse me, while I find it.

12 Q I'm sorry, I said the wrong one, it's (c). I
13 get my little numbers correct, 251(c)(3) was where I was
14 referencing.

15 A All right, 251(c)(3). All right.

16 Q Do you see that styled, "Unbundled Access?"

17 A Yes, I do.

18 Q And take a moment to look at it, but generally,
19 does it state in that first sentence that the duty is to
20 provide nondiscriminatory access to network elements on
21 an unbundled basis at any technically feasible point,
22 rates and terms and conditions, et cetera?

23 A Yes, I do.

24 Q So the duty under the Act is not, quote,
25 parity, but it's actually nondiscriminatory access on an

1 unbundled basis with respect to UNEs?

2 A Absolutely. And this is part of the
3 justification that I see for actually having a higher
4 grade of service for the UNE than you have for retail
5 service because this says nondiscriminatory access to
6 network elements on an unbundled basis. My view of that
7 is that, in order to have a nondiscriminatory access,
8 you've got to have something defined as that particular
9 piece part of the network.

10 If you want to draw an analogy here, you look
11 at special access where it has piece-part specifications
12 and parameters, one set for the loop, one set for
13 transport, one set for end to end, or retail, if you
14 will, for private line. This to me justifies having
15 end-link parameters for unbundled network elements;
16 however, ITC^DeltaCom doesn't need that high a grade of
17 service. We can -- we believe that parity with retail
18 will provide for ITC^DeltaCom nondiscriminatory access.

19 Q Mr. Hyde, you mentioned earlier -- I think
20 we've just agreed that the Act refers to
21 nondiscriminatory access, but you think the FCC order --
22 the FCC has ordered that interpreting the Act that it set
23 forth standards that determine whether an incumbent LEC
24 is providing nondiscriminatory access to UNEs? Would you
25 agree that the FCC has made orders that indicate that as

1 a requirement, the standards?

2 A I believe so.

3 Q Okay. And you also would agree that BellSouth
4 is required to comply with those standards set forth by
5 the FCC?

6 A Oh, indeed, yes.

7 Q And the parties' interconnection agreement
8 should be consistent with the FCC standards for ensuring
9 nondiscriminatory access, would you agree with that,
10 Mr. Hyde?

11 A Oh, I certainly do, including the "at least
12 equal in quality." And therein lies the rub. At least
13 equal in quality means that it can be better and still
14 meet the FCC requirements and the Act. The definitional
15 problem is: What is at least equal? Again, you look at
16 the Act itself, and "at least equal" can be defined as
17 end-link parameters which we're not getting. But
18 ITC^DeltaCom is not requesting that stringent an
19 interpretation but rather one that says, if you give us
20 parity with retail, that would be acceptable to us as
21 nondiscriminatory access.

22 Q Well, Mr. Hyde, would you agree that the FCC
23 standard for ensuring the nondiscriminatory access to
24 unbundled network elements, as set forth in the Act, is
25 that the incumbent LEC must provide UNEs in a manner that

1 offers an efficient carrier a meaningful opportunity to
2 compete?

3 A Yes, I'm familiar with that particular phrase.

4 Q Okay. And DeltaCom is asking this Commission
5 to impose obligations upon BellSouth to go beyond the
6 FCC's requirements; is that correct?

7 A No, sir, I don't agree with that statement.

8 Q Well, for example, the definition of parity
9 that DeltaCom has proposed to be incorporated into the
10 interconnection agreement goes beyond the FCC's
11 meaningful opportunity to compete standard, doesn't it?

12 A I don't agree with that, no, sir.

13 Q Have you --

14 A I think that what we're asking for is nothing
15 more than a meaningful opportunity to compete, what we
16 see as what does it take for a meaningful opportunity to
17 compete, and looking at the at-least-equal-to standards
18 that are in there.

19 Q Well, are you familiar with the proposed
20 interconnection agreement that was attached to the
21 petition for arbitration in this case?

22 A I'm sorry, I couldn't --

23 Q Are you familiar with the proposed
24 interconnection agreement that DeltaCom has attached to
25 its petition for arbitration in this case?

1 A Yes, I am.

2 Q Specifically at Section 3.2 of Part A under the
3 general terms and conditions --

4 MS. EDWARDS: May I approach with our --

5 WITNESS HYDE: If I could see a copy.

6 (DOCUMENT TENDERED TO THE WITNESS)

7 MS. EDWARDS: I'm just handing him a copy of
8 the petition.

9 MR. ALEXANDER: Okay.

10 MS. EDWARDS: Do you need to see it?

11 MR. ALEXANDER: I can refer you specifically.

12 It's under the section, General Terms and
13 Conditions, Part A. It's Section 3.2 under the
14 GTC.

15 WITNESS HYDE: 3.2, I'm there.

16 BY MR. ALEXANDER (Continuing):

17 Q Do you see the section styled three dot and it
18 says "Parity?"

19 A Absolutely.

20 Q Okay. And this is DeltaCom's proposed
21 interconnection agreement that it's asking the Commission
22 to adopt here?

23 A Yes.

24 Q Okay. And at Section 3.2, do you see the --
25 what's shaded that BellSouth will provide ITC^DeltaCom

1 with preordering, ordering, maintenance, trouble
2 reporting, daily usage functionality equal to or greater
3 than that which BellSouth provides to its own end users?
4 Is that in your proposed interconnection agreement?

5 A Absolutely it is, and --

6 Q Mr. --

7 A Let's look at it mathematically. I think that
8 would probably be the easiest analogy to use.
9 Mathematically, "at least equal" means equal to or
10 greater. I've used -- we've used the words "equal to or
11 greater." Does that mean the exact same thing as "at
12 least equal to?" Yes, it does. There's absolutely no
13 conflict between these words and the at-least-equal
14 concept that's in there.

15 Q Would you agree -- I'm sorry, I thought you
16 were through.

17 A And ITC^DeltaCom would gladly, cheerfully,
18 accept one hundred percent of our UNEs exactly equal.

19 Q Would you agree that there is no greater than
20 requirement under the FCC's current rules?

21 A I thought the "at least equal" was in there.

22 Q My question was: Would you agree that there is
23 no greater-than requirement under the FCC's current
24 rules?

25 A No, sir, I would not. Again, mathematically

1 speaking, "at least equal" is the same thing as "equal to
2 or greater." So when you say "at least equal," again, we
3 will be cheerful -- we'll cheerfully accept a hundred
4 percent exactly equal, but --

5 Q Mr. Hyde, you've asked for, in addition to
6 functionality equal to, you've also asked for or greater
7 than that which BellSouth provides to its own end users;
8 is that not what's in your proposed agreement?

9 A I'm sorry. I'm having a little problem hearing
10 you, Mr. Alexander.

11 Q I'm sorry. That's usually not a problem.

12 A Nor with me, but your voice is a bit lower than
13 usual today. I'm sorry.

14 Q I do apologize.

15 Your proposed interconnection agreement
16 contains language that says that you're looking for
17 access to BellSouth's UNEs that's the functionality
18 that's equal to or greater than that which BellSouth
19 provides to its own end users; is that not correct?

20 A That's the language that is in there; but,
21 again, as I say, I see no conflict between "at least
22 equal" and the statement "equal to or greater." They are
23 one and the same statement. You can reduce it to
24 mathematical terms, and they come out exactly equal.

25 Q Would DeltaCom, in lieu of that provision

1 that's obviously in dispute because it's shaded -- Is
2 that what the shaded means, to your knowledge?

3 A I don't know what the shading is for. It may
4 be for disputed wording.

5 Q Would DeltaCom agree to use the language that
6 the FCC has used; that is, that an incumbent LEC must
7 provide UNEs in a manner that offers an efficient carrier
8 a meaningful opportunity to compete rather than have
9 greater than language in the proposed interconnection
10 agreement?

11 A I would not object to "at least equal." I
12 would recommend that. If BellSouth wants to see that
13 particular wording negotiated from "equal to or greater"
14 to the words "at least equal," then I would recommend it
15 to ITC^DeltaCom regulatory that we make that adjustment.

16 Q Would you be willing to adopt the definition
17 that the FCC has used?

18 A I don't really think that it is precise enough
19 for the contract. I prefer the words that I believe was
20 in the (c)(3) section of the Act which is, "at least
21 equal." Again, to me they're one and the same thing. So
22 if you want to use "at least equal," I'm willing to
23 recommend to the regulatory group at ITC^DeltaCom that we
24 change "equal to or greater" to "at least equal," and
25 then it would exactly agree with the Act itself.

1 Q Mr. Hyde, on page -- I believe it's Pages 13
2 and 14 of your rebuttal testimony, you have a discussion
3 about this same issue, the Issue 3(b)(2), the parity for
4 UNEs. Would you care to look at those pages?

5 A Rebuttal testimony, did you say?

6 Q Yes, sir.

7 A Page?

8 Q I believe it's 13 and 14.

9 A I'm sorry if I question you again,
10 Mr. Alexander, but I am not hearing well today.

11 Q I can't get really much closer to the mike, but
12 I'll try.

13 A I understand, and it's my fault because my ears
14 are not working too well. What line on Page 13?

15 Q I believe the issue begins on Line 19 of Page
16 13 on your rebuttal. Do you see that issue, 3(b)(2),
17 parity for UNEs?

18 A Yes.

19 Q Okay. And you have a discussion beginning at
20 the top of Page 14, based on the question that started at
21 the bottom of 13 and top of 14 about -- you talk about
22 BellSouth. You acknowledge first that BellSouth does not
23 provide UNEs to themselves. Do you see that?

24 A I acknowledge that BellSouth claims they do
25 not.

1 Q Well, also on Page 14 you have a discussion
2 about the imputation of access rates to toll rates, and
3 then you note, I believe it begins at Lines 3 through 6
4 on Page 14, that the situation is the same with local
5 service. Do you see that?

6 A Let's see.

7 MS. EDWARDS: I'm sorry, Mr. Alexander, I'm not
8 following that.

9 MR. ALEXANDER: Page 14, at Lines 3 through 6,
10 he has a discussion about access rates were imputed
11 to toll rates.

12 WITNESS HYDE: Yes, I'm there.

13 BY MR. ALEXANDER (Continuing):

14 Q And you also, specifically at Line 6, Page 14,
15 you say, "The situation is the same with local service."
16 Do you see that, Mr. Hyde?

17 A Yes, I do.

18 Q Are you proposing that the Florida Commission
19 should impute UNE rates to the tariff local service
20 rates, Mr. Hyde?

21 A Only as an absolute last-ditch attempt to have
22 at least equal parity for the UNE elements for
23 ITC^DeltaCom. This is not something that ITC^DeltaCom
24 really wants to see happen. I am afraid, however, that
25 unless we can come to some resolution that we may have to

1 come up with something like this. I personally think
2 that the best solution is to -- is for BellSouth to
3 provide at least equal UNEs to ITC^DeltaCom and not go
4 with imputation documents or imputation hearings and
5 proceedings; however, if such is not forthcoming, then as
6 a last-step alternative, yes, I would recommend
7 imputation.

8 Q Let's turn to another subject. You mentioned
9 in your summary about integrated digital loop carrier
10 technology?

11 A Yes.

12 Q And this would be Issue 3(b)(5) also under
13 parity; is that correct, Mr. Hyde?

14 A Let's see, I believe. 3(b)(5), yes.

15 Q Okay. And when we're talking about IDLC, we're
16 talking about a loop being integrated directly into a
17 switch; is that correct?

18 A That is correct.

19 Q Okay. Would you assume with me for a minute
20 that BellSouth has a customer that's currently served by
21 IDLC that wants to change service to DeltaCom. Are you
22 with me?

23 A I'm with you so far.

24 Q And also assume that DeltaCom has its own
25 switch, which I believe you have a switch here in

1 Florida, right?

2 A We have multiple switches, yes.

3 Q Here in Florida?

4 A We have switches in Florida, yes.

5 Q So DeltaCom, since it has its own switch, is
6 not buying a UNE switching from BellSouth under my
7 hypothetical, okay?

8 A Okay.

9 Q The issue is how should BellSouth unbundle that
10 IDLC delivered loop that the customer is currently
11 provided by BellSouth so that DeltaCom can provide
12 service to the end user; is that correct? Is that a fair
13 statement of this issue?

14 A I thought I heard a "how" in there rather than
15 a statement, but I will go --

16 Q I did say how. The issue is how should
17 BellSouth unbundle that IDLC delivered loop so that
18 DeltaCom can provide service to the end user?

19 A That's part of the issue, yes. In my summary,
20 and I've tried to be precise on a very complex issue
21 which is difficult, but are we asking that BellSouth
22 provide ITC^DeltaCom with the IDLC in all of these
23 instances? Technically, no. What we want is something
24 equivalent to the IDLC. Unfortunately, I'm not sure
25 there is anything available easily at the moment. But

1 that's what we're looking for, is equivalency. Now as
2 far as disaggregating, there's some methods for providing
3 that IDLC itself directly as a UNE.

4 Q Mr. Hyde, the FCC has identified several
5 technically feasible methods by which an IDLC delivered
6 loop can be unbundled; is that correct?

7 A That is my understanding.

8 Q Is it your testimony that BellSouth is failing
9 to use a specific method to unbundle IDLC delivered loop
10 which the FCC has said is technically feasible?

11 A No, it is not. It is my testimony that we are
12 being provided degraded service when a customer converts
13 from IDLC service with Bell to non-IDLC UNEs for
14 ITC^DeltaCom to provide them service. And, again, I
15 don't -- we don't really care. ITC^DeltaCom doesn't care
16 to if it's IDLC or X, Y, Z technology. What we want is
17 equivalency.

18 If, for instance, there's only one analog to
19 digital conversion existing in the retail, then -- and
20 that customer is using a modem, then we want only one in
21 the UNE loop. Unfortunately, that's not what's
22 happening. And again, I don't want to lead anyone to
23 believe that we're actually just drawing a line and
24 saying we must have IDLC, rather IDLC equivalent. We
25 want something equal to, and we go back to the actual

1 words, "at least equal."

2 Q Mr. Hyde, we keep saying that. I want to ask
3 you: Do you still have a copy of the Act with you?

4 A I certainly do.

5 Q Under Section 251(c)(2), it deals with the duty
6 of the incumbent local exchange carrier to provide
7 interconnection. Would you agree with that?

8 A Yes.

9 Q And under 251(c)(3), which we earlier talked
10 about, it deals with the duty of the incumbent LEC to
11 provide unbundled access to network elements, UNEs?

12 A Yes.

13 Q Would you agree that that, "at least equal in
14 quality standard" is in the Act under interconnection but
15 is not in the Act under unbundled access to UNEs?

16 A The actual words "at least" are not in that
17 particular section. However, it ends up with: "Provide
18 such unbundled network elements in a manner that allows
19 requesting carriers to combine such elements in order to
20 provide such telecommunications service."

21 I hold, sir, that if we have to give a customer
22 degraded service, then we're not able to combine it in
23 such a manner to provide that telecommunication service.

24 COMMISSIONER CLARK: Mr. Alexander, are you at
25 a convenient breaking point?

1 MR. ALEXANDER: Yes, I am.

2 COMMISSIONER CLARK: All right. We are going
3 to finish up for today. We will start again in this
4 room tomorrow at 9:30.

5 MR. ALEXANDER: Thank you.

6 (WHEREUPON, THE HEARING WAS ADJOURNED FOR THE
7 EVENING)

8

9

10 * * * *

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

<#>
#19: 4;5
#20: 4;7

<\$>
\$100: 14;20

<1>
1: 8;18, 14;23, 15;6, 401;19
10: 11;7, 13;6, 13;9, 14;18, 15;1
100: 14;21
11: 7;13, 9;7, 9;13, 10;2, 14;22, 15;6
12: 7;13, 12;24, 13;5, 13;16
13: 7;16, 8;14, 10;5, 11;4, 11;6, 411;1, 411;8, 411;14, 411;16,
411;21
14: 14;18, 14;25, 411;2, 411;8, 411;20, 411;21, 412;1, 412;4, 412;9,
412;14
148: 2;8
15: 11;7, 11;8, 396;14
18: 11;12, 11;13, 13;17
17: 11;8, 11;9
18: 7;11, 8;5, 8;18, 8;20, 9;7, 9;22, 11;9
19: 8;20, 411;15
1996: 402;1, 402;9

<2>
2: 4;5, 8;24, 9;1, 10;20, 10;24
20: 8;23, 9;5, 11;11, 11;16, 11;22
21: 9;6, 9;12, 9;15, 9;21, 9;21, 11;8
22: 9;7, 9;22, 11;11, 11;13, 11;16, 11;22, 12;4
22nd: 18;2
23: 7;23, 8;16, 8;19, 12;2, 12;4, 12;21, 13;4, 13;7, 13;16
24: 9;9, 9;24, 10;5, 10;13
25: 10;3, 10;8, 399;5, 400;18
251: 402;12
251(b)(3): 403;8, 403;9
251(c)(2): 416;5
251(c)(3): 402;19, 403;13, 403;15, 416;9
252: 402;12

26: 10;14, 13;17

<3>
3: 1;16, 4;1, 4;5, 8;20, 10;20, 10;24, 11;10, 412;3, 412;9
3(a): 401;13
3(b)(1): 401;13
3(b)(2): 401;18, 401;19, 411;3, 411;16
3(b)(5): 413;12, 413;14
3.2: 407;2, 407;13, 407;15, 407;24
322: 1;18
326: 3;12
330: 4;5
334: 4;7
338: 3;13
35: 397;12, 397;14
366: 3;14
393: 3;15

<4>
4: 10;3, 11;4, 11;9
40%: 397;12, 397;14
401: 3;16
4075: 2;9
417: 1;18
48: 12;7, 12;19

<5>
5: 10;6
50: 14;21, 14;21, 15;2
50-dollar: 15;7

<6>
6: 9;15, 9;24, 412;3, 412;9, 412;14

<7>
7: 9;2, 10;2, 10;13, 10;14, 11;11, 12;21, 12;25, 13;2, 13;9

<8>
8: 13;1, 13;2

<9>
9: 13;6, 14;18, 14;25
9:00 a.m.: 2;4
9:30: 417;4
990750-TP: 1;6

<A>
able: 395;11, 396;19, 416;22
above: 8;2
absolute: 412;21
Absolutely: 404;2, 407;19, 408;5, 408;12
accept: 408;18, 409;3
acceptable: 405;20
Access: 395;16, 396;7, 396;9, 402;21, 403;16, 403;20, 403;25, 404;5,
404;7, 404;11, 404;18, 404;21, 404;24, 405;9, 405;21, 405;23,
409;17, 412;2, 412;10, 416;11, 416;15
according: 399;21
acknowledge: 411;22, 411;24
Act: 402;1, 402;4, 402;9, 402;13, 402;25, 403;24, 404;20, 404;22,
405;14, 405;16, 405;24, 410;20, 410;25, 416;3, 416;14, 416;15
actual: 415;25, 416;16
actually: 9;20, 398;10, 401;18, 403;25, 404;3, 415;23
added: 397;25
addition: 8;15, 14;14, 397;10, 409;5
additional: 397;8
address: 8;10
adds: 397;7
ADELMAN: 7;24, 8;5, 8;6, 13;10
ADJOURNED: 417;6
adjustment: 410;15
ADMTD: 4;3
adopt: 396;16, 407;22, 410;16
ADSL: 397;18, 397;21, 397;22, 397;24, 397;25, 398;8, 398;14, 398;24
advanced: 398;1, 398;2, 398;5
afraid: 412;24
afternoon: 395;6, 401;5, 401;6
agree: 12;17, 402;19, 404;25, 405;3, 405;9, 405;22, 406;7, 406;12,
408;15, 408;19, 408;22, 410;5, 410;25, 416;7, 416;13
agreed: 399;3, 404;20
agreement: 396;13, 396;17, 399;3, 399;5, 405;7, 406;10, 406;20,

406;24, 407;21, 408;4, 409;8, 409;15, 410;10
ahead: 15;4
ALEC: 398;22
ALEC's: 397;9
ALEXANDER: 3;16, 7;20, 9;10, 9;12, 9;15, 9;17, 9;19, 9;23, 10;4,
12;3, 12;13, 13;6, 13;11, 13;14, 16;6, 401;1, 401;2, 401;4, 401;6,
403;2, 403;6, 403;7, 407;9, 407;11, 407;16, 409;10, 411;10, 412;7,
412;9, 412;13, 416;24, 417;1, 417;5
allow: 400;11
allowed: 5;21, 398;16
allows: 416;18
already: 397;22, 400;18
alternative: 413;6
Although: 8;7, 396;25
analog: 397;4, 397;6, 397;8, 415;18
analogy: 404;10, 408;8
answer: 5;16, 7;19, 7;21, 8;7, 8;10
answering: 403;1
answers: 15;19
anyway: 403;4
apologize: 13;6, 13;10, 409;14
appear: 9;25
APPEARANCES: 2;16
applicable: 8;25, 11;18, 11;25
approach: 407;4
appropriate: 395;19
arbitration: 1;8, 406;21, 406;25
areas: 399;9, 399;15, 400;16
arrangements: 9;25
assume: 413;19, 413;24
asymmetrical: 397;18
at-least-equal: 408;13
at-least-equal-to: 406;17
attached: 10;17, 406;20, 406;24
attempt: 412;21
attorney: 401;22, 402;15
available: 400;24, 414;25
away: 400;20

back: 5:2, 415:25
 barrier: 398:24
 barriers: 398:15
 base: 5:7, 5:15
 based: 5:8, 411:20
 basis: 396:20, 402:22, 403:21, 404:1, 404:6
 Beginning: 8:16, 8:19, 8:24, 9:7, 9:24, 10:3, 10:13, 11:3, 11:9,
 11:11, 11:16, 11:22, 12:21, 12:24, 13:4, 13:16, 411:19
 begins: 411:15, 412:3
 believe: 8:8, 10:6, 10:9, 11:4, 13:22, 14:17, 14:22, 401:19, 401:21,
 402:6, 402:7, 402:15, 404:17, 405:2, 410:19, 411:1, 411:8, 411:15,
 412:3, 413:14, 413:25, 415:23
 Bell: 399:20, 399:23, 415:13
 BellSouth: 1:10, 7:20, 8:18, 8:24, 11:17, 11:18, 11:23, 11:24, 12:6,
 12:18, 14:19, 395:8, 395:11, 395:12, 395:23, 396:5, 396:6, 396:7,
 396:8, 396:19, 396:21, 396:24, 397:16, 398:13, 398:20, 399:3,
 399:5, 399:12, 400:4, 400:6, 400:19, 402:20, 405:3, 406:5, 407:25,
 408:3, 409:7, 409:18, 410:12, 411:22, 411:22, 411:24, 413:2,
 413:20, 414:6, 414:9, 414:11, 414:17, 414:21, 415:8
 BellSouth's: 9:25, 10:1, 395:24, 396:1, 397:12, 400:4, 409:17
 below: 398:15
 best: 12:15, 413:2
 better: 405:13
 Betty: 2:7
 beyond: 406:5, 406:10
 bill: 395:8
 binding: 10:8
 bit: 409:12
 blame: 401:11
 bottom: 411:21
 breaking: 416:25
 built: 398:12
 business: 399:7
 buy: 400:5
 buying: 414:6
 <C>
 c)(3: 410:20
 call: 6:4, 396:9
 called: 5:9, 6:25

closer: 411:11
 cold: 401:8
 collocation: 400:3, 400:10, 400:17, 400:20
 combine: 416:19, 416:22
 comma: 11:24
 Commenced: 2:4
 COMMISSION: 1:1, 395:22, 396:16, 397:15, 399:6, 399:12, 406:4,
 407:21, 412:18
 Commission's: 7:10, 16:17
 COMMISSIONER: 1:24, 1:25, 5:2, 5:18, 5:25, 6:11, 6:16, 7:18, 7:24,
 8:12, 8:22, 9:3, 9:11, 10:11, 10:23, 10:25, 11:1, 11:20, 12:25,
 13:3, 13:10, 13:25, 14:8, 14:11, 14:24, 15:4, 15:22, 16:5, 16:9,
 16:12, 16:15, 16:20, 16:25, 399:16, 401:1, 401:2, 402:23, 416:24,
 417:2
 Communications: 1:7
 companies: 402:20
 compatible: 397:21, 397:23, 397:24
 compel: 5:23
 compete: 395:21, 398:18, 398:22, 406:2, 406:11, 406:15, 406:17, 410:8
 competition: 397:14, 398:24, 399:1, 399:9, 399:11
 competitive: 398:16
 completed: 396:13
 complex: 414:20
 comply: 405:4
 concept: 401:14, 403:3, 408:14
 concerned: 5:6
 concerning: 5:15
 concludes: 400:23
 Conditions: 403:22, 407:3, 407:13
 Conference: 2:7
 confidential: 5:11, 5:14, 6:5, 6:7
 conflict: 408:13, 409:21
 consistent: 396:20, 405:8
 consisting: 15:11
 contained: 15:18
 contains: 408:16
 continue: 399:12
 Continuing: 10:16, 11:2, 12:10, 13:19, 14:13, 15:9, 395:1, 403:7,
 407:16, 412:13
 contract: 410:19

calls: 6:8, 396:4
 capability: 397:10
 care: 411:4, 415:15, 415:15
 Carolina: 401:9
 carrier: 397:22, 398:12, 400:1, 406:1, 410:7, 413:9, 416:6
 carriers: 416:19
 case: 406:21, 408:25
 caught: 401:10
 cause: 7:7
 caused: 397:11
 GCR: 2:12
 Center: 2:7
 central: 398:2, 398:5, 399:20, 399:23, 400:4
 certain: 1:8
 certainly: 405:11, 416:4
 cetera: 403:22
 chance: 6:9
 change: 15:5, 397:11, 400:17, 410:24, 413:21
 changed: 14:21, 15:2
 changes: 14:15, 14:17, 15:8, 15:14, 337:3
 changing: 398:21
 charge: 11:19, 14:20, 15:7, 398:8
 charges: 9:1, 11:25, 12:22, 398:23
 check: 13:23, 13:24
 cheerful: 408:3
 cheerfully: 408:17, 409:3
 circuit: 397:20
 cite: 402:11, 403:5
 claimed: 5:11, 6:7
 claims: 411:24
 clarify: 5:20
 CLARK: 1:24, 5:2, 5:18, 5:25, 6:11, 6:16, 7:18, 7:24, 8:12, 8:22,
 9:3, 9:11, 10:11, 10:23, 11:1, 12:25, 13:3, 13:25, 14:8, 14:11,
 14:24, 15:4, 15:22, 16:5, 16:9, 16:12, 16:20, 16:25, 401:1, 401:2,
 416:24, 417:2
 clear: 15:23
 clearly: 7:21
 GLEC: 397:8
 close: 13:15
 closed: 9:18, 12:16

convenient: 416:25
 conversion: 397:6, 415:19
 conversions: 397:8
 Converting: 397:7
 converts: 415:12
 coordinate: 398:21
 coordination: 396:18, 396:20
 copper: 397:23, 397:25, 398:3, 398:7, 399:23, 400:7
 copy: 16:10, 16:13, 402:24, 402:24, 403:1, 403:3, 407:5, 407:7, 416:3
 correct: 8:6, 9:17, 9:18, 9:21, 10:12, 10:21, 15:3, 401:16, 401:17,
 401:20, 403:13, 406:6, 409:19, 413:13, 413:17, 413:18, 414:12,
 415:8
 Correction: 14:22, 16:8
 corrections: 14:15, 16:18
 correctly: 398:6, 397:5
 cost: 398:15
 counsel: 402:24
 COURT: 16:9, 16:11
 critical: 8:17
 CROSS EXAMINATION: 3:18, 400:25, 401:3
 cross: 5:8, 5:17
 current: 396:13, 396:18, 408:20, 408:23
 currently: 397:17, 413:20, 414:10
 customer: 5:7, 5:15, 397:7, 398:2, 398:5, 398:18, 399:24, 400:12,
 413:20, 414:10, 415:12, 415:20, 416:21
 customers: 397:14, 399:14
 cutover: 11:17, 11:24, 12:20, 396:12, 396:18
 cutovers: 396:13
 <D>
 d/b/a: 1:7
 daily: 408:2
 DATE: 2:2, 11:17, 11:24, 12:20, 396:20, 396:22
 dates: 396:19
 day: 16:2
 deals: 416:5, 416:10
 declined: 5:22
 dedicated: 400:3
 defined: 404:8, 405:16
 definition: 401:13, 406:8, 410:16

definitional: 405:14
 degradation: 398:21
 degraded: 415:12, 416:22
 degrades: 397:9
 delays: 11:17, 11:23
 delivered: 414:10, 414:17, 415:5, 415:9
 DeltaCom: 406:4, 406:9, 406:24, 409:25, 410:5, 413:21, 413:24, 414:5,
 414:11, 414:18
 DeltaCom's: 407:20
 demand: 400:11
 denied: 398:22
 determine: 404:23
 dial: 12:6, 12:19, 13:7
 difference: 399:19
 difficult: 396:15, 414:21
 digital: 397:8, 397:8, 397:18, 397:22, 398:12, 413:9, 415:19
 DIRECT EXAMINATION: 3:12, 7:3
 Direct: 3:13, 7:8, 7:11, 8:23, 9:6, 10:14, 10:18, 14:16, 14:18,
 15:18, 18:1, 337:1
 directly: 8:10, 413:16, 415:3
 disaggregating: 415:2
 disclose: 6:8
 disclosure: 5:9, 6:5, 6:6
 disconnect: 398:19, 400:22
 discovery: 5:10, 5:22
 discuss: 12:9, 401:14
 discussing: 402:18
 discussion: 411:2, 411:19, 412:1, 412:10
 dispatch: 396:3, 396:23
 dispute: 410:1
 disputed: 410:4
 DOCKET: 1:6
 DOCUMENT: 407:6
 documents: 413:4
 doing: 401:9
 dot: 407:17
 down: 10:2
 draw: 404:10
 drawing: 415:23
 DS-1: 400:6

equivalency: 396:25, 397:3, 397:16, 415:1, 415:17
 equivalent: 397:2, 397:2, 398:8, 398:9, 398:13, 414:24, 415:24
 erect: 398:15
 errors: 395:25
 Especially: 398:13
 Esplanade: 2:9
 et: 403:22
 EVENING: 417:7
 event: 6:3
 exact: 408:11
 exactly: 408:18, 409:4, 409:24, 410:25
 examined: 7:1
 example: 10:8, 397:12, 397:21, 408:8
 excess: 10:1
 Excessive: 398:15
 exchange: 402:20, 416:6
 exclusively: 8:8
 Excuse: 11:5, 403:11
 Exhibit 19: 10:24
 Exhibit 20: 14:6, 14:12
 Exhibit: 4:7, 13:20, 14:5
 EXHIBITS: 4:1, 4:5, 10:17
 existing: 396:8, 398:11, 400:21, 415:19
 exists: 396:12
 extend: 399:4
 extended: 399:2, 399:6, 399:10, 399:11, 399:13, 399:19, 399:25,
 400:21
 extending: 400:8
 extra: 402:24, 403:3

<F>
 facilities: 395:13, 400:6
 facility: 400:8
 fact: 5:8, 7:22
 failing: 415:8
 fair: 6:12, 414:12
 faith: 399:3
 familiar: 406:3, 408:19, 406:23
 far: 10:1, 413:23, 415:2
 fault: 14:4, 411:13

DS1: 400:5
 Due: 395:25, 396:19, 396:20, 396:22, 397:14
 duly: 7:1
 duty: 403:19, 403:24, 416:5, 416:10
 <E>
 Earlier: 5:4, 399:18, 400:18, 404:19, 416:9
 ears: 411:13
 easiest: 408:8
 easily: 414:25
 Easley: 2:7
 EDWARDS: 3:12, 7:4, 8:15, 8:23, 9:5, 9:14, 9:17, 9:20, 9:24, 10:12,
 10:16, 10:23, 10:25, 11:2, 11:22, 12:9, 12:10, 12:17, 13:2, 13:4,
 13:8, 13:16, 13:19, 14:6, 14:10, 14:13, 15:9, 15:22, 16:4, 16:7,
 16:15, 395:1, 400:24, 402:23, 407:4, 407:7, 407:10, 412:7
 effectively: 395:21
 efficiency: 400:9
 efficient: 399:10, 399:14, 400:14, 400:15, 406:1, 410:7
 either: 14:15, 396:7
 elements: 401:15, 402:21, 403:20, 404:6, 404:15, 405:24, 412:22,
 416:11, 416:18, 416:19
 employees: 10:2
 end: 397:12, 397:16, 404:13, 404:13, 408:3, 409:7, 409:19, 414:12,
 414:18
 end-link: 395:20, 404:15, 405:17
 end-to-end: 395:17
 end-user: 399:21
 ending: 10:14, 11:10
 ends: 416:17
 enough: 400:11, 400:17, 410:18
 ensure: 396:5, 396:10
 ensuring: 405:8, 405:23
 entered: 16:18
 entry: 398:16, 400:15
 equal: 395:17, 398:10, 405:12, 405:13, 405:15, 405:16, 408:2, 408:9,
 408:9, 408:10, 408:12, 408:18, 408:21, 409:1, 409:1, 409:2, 409:4,
 409:6, 409:18, 409:22, 409:22, 409:24, 410:11, 410:13, 410:14,
 410:21, 410:22, 410:24, 410:24, 412:22, 413:3, 415:25, 416:1,
 416:13
 equipment: 395:14, 398:1, 398:2, 398:6

FCC: 402:7, 404:21, 404:22, 404:25, 405:5, 405:8, 405:14, 405:22,
 410:6, 410:17, 415:4, 415:10
 FCC's: 406:6, 408:10, 408:20, 408:23
 feasible: 403:21, 415:5, 415:10
 feature: 397:10
 features: 398:19
 Fifth: 396:25
 figure: 14:19
 figures: 15:1, 399:22
 file: 15:24
 filed: 7:7
 find: 8:4, 396:23, 403:11
 fine: 403:2
 finish: 417:3
 first: 7:1, 395:8, 403:19, 411:22
 FLORIDA: 1:1, 2:10, 412:18, 414:1, 414:3, 414:4
 following: 412:8
 follows: 7:1
 forecast: 10:8
 Forgive: 5:18
 forth: 404:23, 405:4, 405:24
 forthcoming: 413:5
 forward: 6:17, 398:19
 forwarding: 396:9
 found: 396:2
 Fourth: 396:18
 frankly: 399:8
 Frequently: 399:21
 functionality: 397:2, 408:2, 409:6, 409:17
 functionally: 395:13
 functions: 395:10
 fundamental: 401:15
 furnish: 397:16
 FX: 396:8

<G>
 General: 8:2, 402:17, 402:22, 403:3, 407:3, 407:12
 generally: 403:18
 generation: 397:4
 getting: 405:17

give: 16;22, 398;18, 405;19, 416;21
 given: 400;15
 gladly: 408;17
 GOGGIN: 5;4, 5;24, 6;1, 6;14, 6;18, 7;25, 8;1, 8;4, 8;6, 12;8
 grade: 397;20, 397;20, 397;24, 397;25, 398;9, 398;11, 400;5, 404;4, 404;16
 Granted: 397;20
 greater: 408;2, 408;10, 408;11, 408;19, 409;2, 409;6, 409;18, 409;22, 410;9, 410;13, 410;24
 greater-than: 408;23
 group: 410;23
 grows: 400;17
 GTC: 407;14
 guarantees: 7;15, 7;22, 8;17, 8;20
 guess: 5;17, 16;1

<H>
 half: 399;22
 handing: 407;7
 happen: 412;24
 happening: 415;22
 heard: 414;14
 HEARING: 1;22, 409;9, 411;10, 417;6
 hearings: 413;4
 held: 395;20
 heretofore: 2;18
 high: 396;11, 398;23, 404;16
 higher: 404;3
 hold: 416;21
 hours: 12;7, 12;19
 hundred: 14;25, 15;1, 399;5, 400;19, 408;18, 409;3
 HYDE: 3;10, 6;24, 7;6, 10;17, 12;11, 12;15, 13;20, 13;23, 13;25, 14;2, 15;3, 15;5, 16;24, 395;2, 401;5, 401;22, 402;25, 403;5, 404;19, 405;10, 405;22, 407;5, 407;15, 409;5, 411;1, 412;12, 412;16, 412;20, 413;13, 415;4, 416;2
 hypothetical: 414;7

<I>
 ID: 4;3
 identical: 395;13

396;2, 396;6, 396;22, 396;22, 397;1, 399;6, 399;13, 404;16, 404;18, 405;18, 407;25, 408;17, 410;15, 410;23, 412;23, 412;23, 413;3, 414;22, 415;14, 415;15
 ITC^DeltaCom's: 15;24, 396;1
 item: 9;16
 itself: 395;9, 397;1, 402;10, 405;16, 410;25, 415;3

<J>
 JACOBS: 1;25, 11;20, 399;16
 JR: 1;25
 justification: 404;3
 justifies: 404;14

<K>
 keep: 416;2
 knowledge: 402;1, 410;2

<L>
 lack: 397;14
 Language: 396;12, 396;16, 409;16, 409;20, 410;5, 410;9
 last: 13;14
 last-ditch: 412;21
 last-step: 413;6
 later: 6;8
 layman's: 401;25
 lead: 415;22
 lease: 400;6, 400;6
 least: 12;7, 12;19, 395;23, 405;11, 405;12, 405;15, 405;16, 408;9, 408;12, 408;21, 409;1, 409;2, 409;21, 410;11, 410;14, 410;20, 410;22, 410;24, 412;22, 413;3, 416;1, 416;13, 416;16
 leave: 15;24
 LEC: 404;23, 405;25, 410;6, 416;10
 LEON: 1;25
 less: 398;11
 letter: 8;13
 level: 395;16, 396;10
 levels: 395;20, 396;11
 lies: 405;12
 lieu: 409;25
 Line: 5;5, 7;16, 7;23, 8;14, 8;16, 8;19, 8;20, 8;24, 9;1, 9;2, 9;7,

identified: 415;4
 IDLC: 396;25, 397;1, 397;3, 397;7, 397;11, 397;13, 397;16, 397;17, 398;20, 398;21, 413;15, 413;21, 414;10, 414;17, 414;22, 414;24, 415;3, 415;5, 415;9, 415;13, 415;16, 415;24, 415;24
 IDLE: 397;15
 impose: 406;5
 imputation: 412;2, 413;4, 413;4, 413;7
 impute: 412;19
 imputed: 412;10
 Inc: 1;7, 1;11
 incentive: 8;18
 included: 14;3
 including: 405;11
 incorporated: 406;9
 incorrect: 6;14, 16;8
 increasing: 397;3
 incumbent: 402;20, 404;23, 405;25, 410;6, 416;6, 416;10
 indicate: 404;25
 information: 5;10, 5;13, 5;14, 6;5, 6;6, 6;9, 8;8
 insert: 337;1
 inserted: 3;13, 3;14, 3;15
 install: 400;3
 installed: 396;6
 instance: 398;10, 402;11, 415;18
 instances: 14;20, 414;23
 instead: 400;2, 401;18
 integrated: 413;9, 413;16
 interconnection: 1;9, 405;7, 406;10, 406;20, 406;24, 407;21, 408;4, 409;15, 410;9, 416;7, 416;14
 interfaces: 397;2
 interoffice: 400;1, 400;7, 400;8
 interpretation: 405;19
 interpreting: 404;22
 interval: 396;15
 issue: 8;9, 10;5, 10;6, 12;7, 12;11, 12;16, 12;21, 396;12, 396;18, 396;25, 397;18, 399;2, 401;18, 402;18, 411;3, 411;3, 411;15, 411;16, 413;12, 414;9, 414;13, 414;16, 414;19, 414;20
 issues: 1;9, 395;6, 395;7, 401;12
 issuing: 402;15
 ITC^DeltaCom: 1;6, 1;7, 1;10, 5;7, 5;8, 6;25, 395;18, 395;20, 395;22,

9;7, 9;13, 9;15, 9;22, 9;24, 10;2, 10;2, 10;3, 10;5, 10;13, 10;14, 11;4, 11;6, 11;7, 11;8, 11;9, 11;10, 11;11, 11;11, 11;13, 11;16, 11;22, 12;4, 12;21, 12;24, 13;5, 13;9, 13;16, 13;17, 14;23, 14;25, 15;6, 404;14, 411;14, 411;15, 412;14, 415;23
 Lines: 7;13, 12;25, 13;2, 13;6, 14;16, 412;3, 412;9
 list: 13;12
 little: 403;13, 409;9
 local: 395;9, 396;4, 402;20, 412;4, 412;15, 412;19, 416;6
 located: 400;12
 locations: 396;3
 long: 400;2
 longer: 396;23, 400;9
 look: 403;18, 404;10, 405;15, 408;7, 411;4
 looking: 403;4, 406;17, 409;16, 415;1
 loop: 395;10, 397;11, 397;19, 397;21, 397;22, 398;4, 398;7, 398;12, 399;10, 399;19, 399;19, 399;20, 399;25, 400;1, 400;2, 400;7, 404;12, 413;9, 413;16, 414;10, 414;17, 415;6, 415;9, 415;21
 loops: 397;20, 397;24, 399;2, 399;4, 399;6, 399;13, 400;22
 loss: 397;10
 lower: 409;12
 lowered: 14;21

<M>
 maintained: 396;11, 396;25
 maintenance: 395;15, 395;19, 408;1
 makeup: 5;6, 5;15
 mandated: 397;4
 manner: 399;8, 399;10, 405;25, 410;7, 416;18, 416;23
 mark: 10;24
 marked: 14;6, 14;12
 market: 400;15, 400;16
 mathematical: 409;24
 Mathematically: 408;7, 408;9, 408;25
 matter: 5;3, 7;7
 mean: 13;11, 398;9, 408;11
 meaningful: 397;13, 398;17, 398;22, 398;24, 399;1, 406;1, 406;11, 406;15, 406;16, 410;8
 means: 399;4, 405;13, 408;9, 410;2
 meet: 396;19, 405;14
 mentioned: 7;23, 400;13, 404;19, 413;8

method: 399:14, 415:9
 methods: 415:2, 415:5
METZKE: 2:12
 mike: 411:11
 minute: 413:19
 minutes: 396:14
 missed: 12:4
 mistaken: 5:24
 mib: 398:12
 modem: 397:9, 398:20, 415:20
 modems: 397:3, 397:4
 moment: 403:18, 414:25
 motion: 5:23
MS: 3:12, 7:4, 8:15, 8:23, 9:5, 9:14, 9:17, 9:20, 9:24, 10:12, 10:16, 10:23, 10:25, 11:2, 11:22, 12:9, 12:10, 12:17, 13:2, 13:4, 13:8, 13:16, 13:19, 14:6, 14:10, 14:13, 15:9, 15:22, 16:4, 16:7, 16:15, 395:1, 400:24, 402:23, 407:4, 407:7, 407:10, 412:7
 multiple: 414:2
 multiplexer: 400:5

<N>
NAME: 3:7, 7:5, 7:6
NANCY: 2:12
 necessary: 396:2, 396:10, 396:21
 need: 5:20, 7:14, 14:9, 16:1, 16:20, 404:16, 407:10
 needs: 14:21
 negotiate: 399:3
 negotiated: 410:13
 negotiations: 1:9
 network: 396:8, 396:11, 401:15, 402:21, 403:20, 404:6, 404:9, 404:15, 405:24, 416:11, 416:18
 new: 397:4
 night: 13:14
 non-IDLC: 415:13
 nondiscriminatory: 402:21, 403:20, 403:25, 404:5, 404:7, 404:18, 404:21, 404:24, 405:9, 405:21, 405:23
 nonrecurring: 8:25, 11:19, 11:25, 12:22, 14:19, 15:7, 398:8, 398:14, 398:23
 nonurban: 399:9, 399:14, 400:14
 Nor: 409:12

original: 399:2
 OSS: 401:13
 overlay: 397:19, 398:1, 398:1
 own: 10:2, 395:24, 398:14, 408:3, 409:7, 409:19, 413:24, 414:5

<P>
PAGE: 3:7, 7:11, 8:5, 8:18, 8:16, 8:20, 8:20, 8:23, 9:3, 9:5, 9:6, 9:7, 9:9, 9:12, 9:15, 9:20, 9:21, 9:22, 9:24, 10:3, 10:5, 10:7, 10:13, 10:13, 11:4, 11:4, 11:5, 11:6, 11:7, 11:8, 11:9, 11:9, 11:11, 11:11, 11:16, 11:21, 11:22, 12:2, 12:21, 13:4, 13:4, 13:7, 13:16, 13:17, 14:18, 14:22, 14:25, 15:6, 411:1, 411:7, 411:14, 411:15, 411:20, 412:1, 412:4, 412:9, 412:14
Pages: 1:18, 15:12, 16:3, 16:4, 18:8, 411:1, 411:4
parameters: 395:15, 395:19, 404:12, 404:15, 405:17
Parity: 395:6, 395:21, 395:23, 401:13, 401:14, 401:15, 401:16, 401:20, 402:2, 402:6, 402:8, 402:10, 402:18, 403:25, 404:17, 405:20, 406:8, 407:18, 411:3, 411:17, 412:22, 413:13
Part: 11:16, 11:23, 12:5, 12:18, 404:2, 404:9, 407:2, 407:13, 414:19
particular: 404:8, 406:3, 410:13, 416:17
parties: 405:7
party: 6:5, 6:9
pathway: 397:9, 399:20
percent: 408:18, 409:4
perform: 12:6, 12:18
Performance: 7:15, 7:22, 8:17, 8:19
Perhaps: 5:24, 6:1
permitted: 6:8
person: 401:11
personally: 413:1
perspective: 401:25
Petition: 1:6, 406:21, 406:25, 407:8
petitioner: 15:23
phrase: 406:3
physical: 400:17
piece: 404:9
piece-part: 404:11
PLACE: 2:7, 396:4
placed: 400:20
plain: 397:23, 397:24
plan: 399:7

North: 401:9
 note: 412:3
 noted: 2:18, 10:20, 337:3
 nothing: 397:19, 399:20, 399:25, 406:14
NRC: 398:7, 398:9
NRCs: 398:15
NUMBER: 4:3
 numbers: 396:2, 403:13
NXX: 395:25

<O>
object: 8:3, 410:11
objection: 5:7
objects: 6:6
obligations: 406:5
obviously: 410:1
occasion: 402:13
occurred: 6:13, 15:10
October 27, 1999: 2:2
October: 16:3
offers: 406:1, 410:7
office: 398:2, 398:5, 399:21, 399:23, 400:5
offices: 400:10, 400:21
Okay: 5:25, 6:16, 6:16, 7:7, 7:10, 7:12, 8:22, 10:11, 11:1, 12:17, 13:3, 15:4, 15:14, 15:17, 16:7, 16:20, 16:25, 401:22, 401:25, 402:4, 402:12, 405:3, 406:4, 407:9, 407:20, 407:24, 411:19, 413:15, 413:19, 414:7, 414:8
old: 397:23, 397:24, 398:6
omissions: 396:1
one: 15:1, 16:13, 397:6, 403:12, 404:12, 404:12, 404:13, 405:19, 408:18, 409:23, 410:21, 415:18, 415:20
opinions: 402:15
opportunity: 398:18, 398:22, 399:17, 406:1, 406:11, 406:15, 406:16, 410:8
opposing: 402:24
order: 7:10, 10:10, 12:14, 16:17, 395:17, 396:24, 401:19, 404:7, 404:21, 416:19
ordered: 404:22
ordering: 408:1
orders: 400:20, 402:8, 404:25

Please: 7:5, 395:5
point: 403:21, 416:25
portion: 8:10
posed: 399:18
position: 7:21
possible: 399:1
pre-testing: 396:14
precise: 410:18, 414:20
precisely: 5:14
prefer: 410:19
Preffiled: 3:13, 3:14, 15:18, 16:21, 337:1
prehearing: 10:9, 12:13, 401:19
preliminary: 5:3
premise: 398:3, 398:5, 399:21, 399:24, 402:17
preordering: 408:1
prepared: 8:2, 395:2
previously: 337:3
prices: 396:9
prior: 12:19, 396:20, 396:22
private: 404:14
probably: 16:20, 408:8
problem: 405:15, 409:9, 409:11
proceed: 395:5
proceeding: 10:7
PROCEEDINGS: 1:22, 413:5
produced: 5:10
proper: 396:14
proposed: 9:25, 406:9, 406:19, 406:23, 407:20, 408:4, 409:8, 409:15, 410:9
proposing: 412:18
Provide: 5:22, 395:9, 395:12, 395:13, 395:23, 396:7, 396:8, 399:4, 402:20, 403:20, 404:18, 405:25, 407:25, 410:7, 411:23, 413:3, 414:11, 414:18, 414:22, 415:14, 416:6, 416:11, 416:17, 416:20, 416:23
provided: 396:4, 399:5, 414:11, 415:12
provides: 408:3, 409:7, 409:19
providing: 8:18, 398:14, 399:13, 404:24, 415:2
provision: 409:25
PUBLIC: 1:1
Pursuant: 7:10

pursued: 5;23
putting: 400;10

<Q>

quality: 396;10, 397;15, 405;12, 405;13, 416;14
question: 5;9, 5;12, 6;4, 7;14, 7;15, 7;19, 7;21, 8;2, 8;7, 8;11,
8;13, 9;10, 10;4, 12;3, 399;17, 402;9, 403;1, 408;22, 411;9,
411;20
questioning: 5;6
questions: 5;16, 5;21, 6;10, 15;17
quite: 399;8
quote: 403;24
quoting: 14;19

<R>

raised: 5;8, 398;25
rate: 14;20, 398;11
rates: 395;9, 398;14, 403;22, 412;2, 412;2, 412;10, 412;11, 412;19,
412;20
rather: 405;19, 410;8, 414;14, 415;24
Re: 1;6
read: 13;15, 16;19, 337;3, 402;14
ready: 396;24
really: 8;1, 410;18, 411;11, 412;24, 415;15
reason: 5;21
Rebuttal: 3;14, 10;22, 11;3, 13;18, 13;21, 14;16, 14;23, 15;6, 15;18,
15;23, 15;25, 16;1, 337;2, 411;2, 411;5, 411;16
recollection: 12;11, 12;15
recommend: 398;15, 397;15, 399;11, 410;12, 410;14, 410;23, 413;6
recommends: 395;22, 396;7
record: 5;3, 7;5, 18;18, 337;2
recovering: 401;8
reduce: 8;19, 409;23
refer: 407;11
reference: 9;16, 402;8
references: 10;6
referencing: 403;14
referring: 401;12
refers: 404;20
refund: 8;25

says: 404;5, 405;19, 407;18, 409;18
schedule: 11;17
scheduled: 11;23, 12;20, 396;19
Second: 395;25, 401;11
Section: 402;12, 402;19, 403;8, 403;9, 407;2, 407;12, 407;13, 407;17,
407;24, 410;20, 416;5, 416;17
security: 9;25
seeing: 399;22
seems: 8;7
sentence: 12;22, 403;19
serve: 399;14, 400;12
served: 16;2, 397;13, 397;17, 413;20
SERVICE: 1;1, 395;9, 395;11, 395;17, 395;24, 396;4, 398;14, 400;22,
404;4, 404;5, 404;17, 412;5, 412;15, 412;19, 413;21, 414;12,
414;18, 415;12, 415;13, 415;14, 416;20, 416;22, 416;23
serving: 400;14
set: 5;14, 6;7, 395;16, 395;19, 398;23, 399;7, 404;12, 404;12,
404;13, 404;22, 405;4, 405;24
sets: 7;21
settled: 12;12
Seventh: 399;2
several: 395;6, 415;4
shaded: 407;25, 410;1, 410;2
shading: 410;3
signing: 399;4
sir: 401;10, 401;24, 402;5, 403;10, 406;7, 406;12, 408;25, 411;6,
416;21
situation: 6;1, 412;4, 412;15
Sixth: 397;18
SL-2: 398;11
solution: 413;2
somewhat: 398;10
sorry: 9;4, 11;20, 14;4, 14;24, 403;12, 406;22, 408;15, 409;9,
409;11, 409;13, 411;9, 412;7
space: 400;3, 400;11
spaces: 400;10, 400;21
speaking: 409;1
special: 404;11
specific: 415;9
Specifically: 7;23, 407;2, 407;11, 412;14

refused: 5;16
region: 399;6
regulatory: 410;15, 410;23
relate: 7;14
relates: 7;22, 8;8
remember: 5;19, 5;19
remote: 396;3, 396;8, 396;9
remotely: 400;12
removed: 14;15
REPORTED: 2;12
REPORTER: 16;10, 16;11
reporting: 408;2
reports: 7;14
request: 15;24
requested: 395;18
requesting: 405;18, 416;19
require: 395;22, 397;15, 399;12
required: 10;1, 11;18, 11;24, 12;6, 12;18, 395;10, 396;23, 405;4
requirement: 405;1, 408;20, 408;23
requirements: 405;14, 406;8
requires: 402;19
requiring: 396;21
resolution: 412;25
resolved: 12;7
respect: 401;15, 402;18, 404;1
respond: 399;17
response: 5;12
retail: 395;11, 395;17, 395;21, 398;25, 404;4, 404;13, 404;17,
405;20, 415;19
review: 402;13
reviewed: 402;12
Room: 2;8, 417;4
Rozycki: 5;5, 5;13, 399;18
RPR: 2;12
rub: 405;12
rules: 408;20, 406;24
rural: 399;9, 399;15, 400;14

<S>

saying: 415;24, 416;2

specifications: 404;11
spectrum: 398;3
staff: 5;13
stand: 16;22
standard: 402;22, 405;23, 406;11, 416;14
standards: 404;23, 405;1, 405;4, 405;8, 406;17
start: 417;3
started: 9;13, 411;20
Starting: 11;4, 14;17
starts: 8;17
state: 7;5, 403;19
statement: 406;7, 409;22, 409;23, 414;13, 414;15
stricken: 7;13, 7;15, 7;16, 7;19, 8;13, 8;14, 8;21, 9;1, 9;8, 11;6,
14;9, 16;17
strike: 10;2, 12;17
stringent: 395;16, 405;18
struck: 8;9, 11;5, 11;12, 11;19, 12;1, 12;5, 12;8, 12;20, 12;23,
13;1, 13;18
styled: 403;16, 407;17
Sub: 11;16, 11;23, 12;5
subject: 16;16, 413;8
subjects: 10;7
submit: 15;11
submitted: 13;12
subscriber: 397;19
Subsequent: 399;4
Subsequently: 5;12
suffer: 396;20
suggest: 6;3, 9;19
summarize: 395;7
summary: 395;2, 400;23, 413;9, 414;19
Supplemental: 3;15, 15;11, 15;19, 15;25, 337;2
SUSAN: 1;24
switch: 395;10, 413;17, 413;25, 413;25, 414;5
switches: 414;2, 414;4
switching: 414;6
sworn: 7;1
systems: 399;7

<T>

tab: 14;4, 14;4
TAH-1: 4;5, 10;20, 10;24
TAH-4: 4;7, 14;1, 14;5
talked: 416;9
Tallahassee: 2;10
tariff: 412;19
Technically: 403;21, 414;23, 415;5, 415;10
technicians: 396;3, 396;23
technology: 398;7, 413;10, 415;16
telecommunication: 416;23
Telecommunications: 1;11, 398;6, 402;1, 416;20
telephone: 396;2
TELRIC: 396;9
TENDERED: 407;6
term: 402;2, 402;10
Terms: 403;22, 407;3, 407;12, 409;24
test: 13;7, 396;4
testified: 7;1
testifying: 5;5
Testimony: 3;13, 3;14, 3;15, 7;8, 7;11, 8;24, 9;6, 10;15, 10;18,
10;22, 11;3, 11;5, 11;8, 13;18, 13;21, 14;14, 14;16, 14;18, 14;23,
15;6, 15;11, 15;15, 15;19, 15;23, 15;25, 16;1, 16;16, 16;17,
16;21, 16;21, 16;22, 337;2, 395;3, 401;12, 401;14, 411;2, 411;5,
415;8, 415;11
testing: 395;25, 396;10
tests: 12;6, 12;19
text: 8;1
themselves: 395;12, 411;23
There's: 14;19, 397;5, 400;10, 408;12, 415;2, 415;18
therein: 405;12
they've: 5;11, 6;7
Third: 396;12
THOMAS: 3;10, 6;24, 7;6
though: 16;19, 337;3, 395;8, 400;19
threat: 400;22
threatened: 400;19
three: 10;17, 14;17, 15;12, 407;17
tie: 400;7
today: 15;18, 395;3, 395;7, 401;7, 409;13, 411;10, 417;3
today's: 397;3

usual: 409;13

<V>

V.90: 397;5
view: 404;6
voice: 397;20, 397;20, 397;24, 397;25, 398;9, 398;11, 400;5, 409;12
VOLUME: 1;16, 4;1
voluntarily: 6;8
volunteered: 5;13

<W>

waive: 8;25, 11;18, 11;25
waiver: 12;22
wants: 399;8, 410;12, 412;24, 413;21
Wednesday: 2;2
WHEREUPON: 6;23, 417;6
whether: 404;23
whole: 7;18
wide: 399;6
will: 8;13, 8;13, 12;17, 337;1, 396;13, 396;15, 396;22, 397;5,
404;14, 404;18, 407;25, 409;3, 414;15, 417;3
willing: 410;16, 410;22
wire: 397;23, 397;25, 398;3
wires: 399;23
within: 396;14
WITNESS: 6;25, 12;15, 14;2, 15;3, 15;5, 16;24, 400;24, 403;5, 407;5,
407;6, 407;15, 412;12
WITNESSES: 3;5
word: 398;9
wording: 410;4, 410;13
words: 408;10, 408;13, 410;14, 410;19, 416;1, 416;16
work: 395;11, 396;24, 397;5
worked: 7;24, 13;14
working: 411;14
works: 398;19

<Y>

Yep: 14;3

toll: 412;2, 412;11
tomorrow: 417;4
tone: 12;6, 12;19, 13;7
top: 411;20, 411;21
translations: 396;1, 396;5
transport: 404;13
treatment: 5;12, 6;7, 395;18
tried: 13;15, 414;20
trouble: 408;1
try: 411;12
trying: 8;4, 13;11
turn: 413;8
Turning: 7;11, 8;23, 9;6, 10;3, 10;22, 11;3, 11;7
Two: 16;3, 16;4, 16;8, 397;8
tying: 400;1

<U>

UDLC: 397;7, 397;11, 398;20
unbundle: 414;9, 414;17, 415;9
Unbundled: 402;22, 403;16, 403;21, 404;1, 404;6, 404;15, 405;24,
415;6, 416;11, 416;15, 416;18
understand: 411;13
understanding: 6;17, 8;1, 337;1, 415;7
understood: 6;12
UNE: 395;9, 395;10, 397;9, 397;16, 399;19, 399;20, 404;4, 412;19,
412;22, 414;6, 415;3, 415;21
UNEs: 395;12, 395;15, 395;23, 398;20, 398;23, 398;25, 401;16, 401;16,
401;20, 402;18, 404;1, 404;24, 405;25, 408;18, 409;17, 410;7,
411;4, 411;17, 411;23, 413;3, 415;13, 416;11, 416;15
Unfortunately: 414;24, 415;21
unless: 412;25
unresolved: 1;8
Until: 396;18
unused: 398;3
usage: 408;2
useful: 6;3
user: 414;12, 414;18
users: 397;12, 397;17, 408;3, 409;7, 409;19
uses: 402;6
using: 415;20