

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


In the Matter of : DOCKET NO. 990649-TP
: :
INVESTIGATION INTO PRICING : :
OF UNBUNDLED NETWORK : :
ELEMENTS. : :

* * * * *
* ELECTRONIC VERSIONS OF THIS TRANSCRIPT *
* ARE A CONVENIENCE COPY ONLY AND ARE NOT *
* THE OFFICIAL TRANSCRIPT OF THE HEARING *
* AND DO NOT INCLUDE PREFILED TESTIMONY. *
* * * * *

PHASE TWO

VOLUME 13

Pages 1836 through 2046



PROCEEDINGS: HEARING
BEFORE: CHAIRMAN J. TERRY DEASON
COMMISSIONER E. LEON JACOBS, JR.
COMMISSIONER LILA A. JABER
DATE: Wednesday, September 20, 2000
TIME: Commenced at 9:15 a.m.
PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida
REPORTED BY: JANE FAUROT, RPR
FPSC Division of Records & Reporting
Chief, Bureau of Reporting
APPEARANCES:
(As heretofore noted.)

DOCUMENT NUMBER-DATE

11946 SEP 25 8

I N D E X

1	I N D E X	
2	WITNESSES:	PAGE NO.
3	WILEY G. (JERRY) LATHAM	
4	Direct Examination by Mr. Edenfield	1840
	Prefiled Rebuttal Testimony Inserted	1842
5	Cross Examination by Mr. Marcus	1859
	Cross Examination by Mr. Bressman	1886
6	Cross Examination by Ms. Boone	1890
	Redirect Examination by Mr. Edenfield	1894
7		
8	WALTER S. REID	
9	Stipulated Prefiled Direct Testimony Inserted	1898
10	Stipulated Prefiled Revised Direct Testimony Inserted	1912
11	Stipulated Prefiled Rebuttal Testimony Inserted	1915
12		
13	W. KEITH MILNER	
14	Direct Testimony by Ms. White	1936
	Prefiled Rebuttal Testimony Inserted	1939
15	Cross Examination by Mr. Melson	1990
	Cross Examination by Mr. Lamoureux	1995
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 INDEX CONTINUED:

2 EXHIBITS

3 NUMBER: ID. ADMTD.

4 119 Exhibit to Witness Reid's ¹⁸⁹⁶
5 Prefiled Testimony ~~1895~~ 1935

6 120 Exhibit to Witness Milner's
7 Prefiled Testimony 1938

8 121 Confidential Exhibit
9 ADSL Planning Directives 1992

10

11

12

13 CERTIFICATE OF REPORTER

2046

14

15

16

17

18

19

20

21

22

23

24

25

P R O C E E D I N G S

(Transcript continues in sequence from Volume 12.)

CHAIRMAN DEASON: Call the hearing back to order.

BellSouth, you may call your next witness.

MS. BOONE: Commissioner Deason, could I just -- you asked me right before break if we wanted to enter in the times I had written on the board. And I have changed my mind, I would like to. Could I bring copies of that tomorrow and enter it at that time?

CHAIRMAN DEASON: If there is no objection.

MS. BOONE: Thank you.

MR. BRESSMAN: Mr. Chairman, before we begin, may I ask to be excused later this afternoon?

CHAIRMAN DEASON: Are you going to be leaving us?

MR. BRESSMAN: Yes, a little later this afternoon. I have some family commitments I have to get back to.

CHAIRMAN DEASON: Okay. I don't blame you.

MR. BRESSMAN: Thank you.

MR. EDENFIELD: BellSouth calls its next witness, Wiley G. Latham.

Mr. Latham, will you confirm that you were previously sworn?

1 THE WITNESS: Yes.

2 WILEY G. LATHAM

3 was called as a witness on behalf of BellSouth
4 Telecommunications, Inc., and, having been duly sworn,
5 testified as follows:

6 DIRECT EXAMINATION

7 BY MR. EDENFIELD:

8 Q Please state your name and your position with
9 BellSouth?

10 A My name is Wiley Gerald Latham, or Jerry Latham
11 as I am called. I am Product Manager for Unbundled Loops
12 within BellSouth Telecommunications.

13 Q Are you the same Jerry Latham that caused to be
14 filed in this proceeding 13 pages of rebuttal testimony on
15 August 21st, 2000?

16 A Yes.

17 Q Do you have any changes or corrections to that
18 testimony?

19 A No, I do not.

20 Q If I were to ask you the questions that appear
21 in your rebuttal testimony today would your answers be the
22 same?

23 A Yes, they would.

24 MR. EDENFIELD: At this time I would ask that
25 Mr. Latham's rebuttal testimony be admitted into the

1 record as if read.

2 CHAIRMAN DEASON: Without objection it shall be
3 so inserted.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **BELLSOUTH TELECOMMUNICATIONS, INC.**
2 **REBUTTAL TESTIMONY OF WILEY G. (JERRY) LATHAM**
3 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**
4 **DOCKET NO. 990649-TP**
5 **(PHASE II)**
6 **AUGUST 21, 2000**

7
8 Q. PLEASE STATE YOUR NAME, ADDRESS AND OCCUPATION.

9
10 A. My name is Wiley G. (Jerry) Latham. My business address is 3535 Colonnade
11 Parkway, Birmingham, Alabama. I am BellSouth's Product Manager for
12 Unbundled Loops within Interconnection Services – Marketing and have been
13 employed by BellSouth for fifteen years.

14
15 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?

16
17 A. The purpose of my testimony is to respond to certain statements in the direct
18 testimony of Eric McPeak on behalf of Broadslate Networks, Inc., Cleartel
19 Communications, Inc, Florida Digital Network, and Network Telephone
20 Company; Terry Murray on behalf of BlueStar Networks, Inc., Covad
21 Communications Company, and Rhythms Links, Inc; and Steven McMahon on
22 behalf of Sprint. In the process, I provide additional information about
23 Unbundled Loop Modification (ULM) and additional explanation of the types
24 and use of xDSL and voice grade unbundled loops offered by BellSouth.

25

1 Q. MR. MCPEAK, MR. MCMAHON, AND MS. MURRAY COMPLAIN
2 ABOUT THE RATES PROPOSED BY BELLSOUTH FOR UNBUNDLED
3 LOOP MODIFICATION (ULM). PLEASE RESPOND.

4

5 A. BellSouth has proposed rates for ULM that are designed to recover the costs
6 that BellSouth will incur when it performs loop conditioning on behalf of a
7 requesting carrier, such as the removal of load coils or bridged tap. BellSouth
8 has proposed three nonrecurring rates for ULM. These include ULM Load
9 Coil/Equipment Removal – Short; ULM Load Coil/Equipment Removal –
10 Long; and ULM -Bridged Tap Removal.

11

12 Q. WHY DO BELLSOUTH'S PROPOSED RATES DISTINGUISH
13 BETWEEN ULM LOAD COIL/EQUIPMENT REMOVAL - SHORT AND
14 ULM LOAD COIL/EQUIPMENT REMOVAL - LONG?

15

16 A. Load coil removal was divided into two categories to differentiate the
17 anticipated work activity for loops less than 18 kft (designated as Short) and
18 loops over 18 kft (designated as Long). With respect to loops over 18 kft,
19 BellSouth will remove load coils and other equipment from only those specific
20 loops ordered by the requesting carrier. By contrast, for loops under 18 kft,
21 BellSouth assumes on average that load coils will be removed from ten pair at
22 one time. In addition, the average number of load coils is dependent upon the
23 length of the particular loop. BellSouth witness Greer addresses the
24 reasonableness of these assumptions in his rebuttal testimony.

25

1 Q. MR. MCPEAK, MR. MCMAHON, AND MS. MURRAY QUESTION
2 BELLSOUTH'S ASSUMPTION THAT IT WILL REMOVE LOAD COILS
3 AND OTHER EQUIPMENT FROM LOOPS LESS THAN 18 KFT FOR
4 TEN PAIR AT ONE TIME ON AVERAGE. HOW DO YOU RESPOND?

5

6 A. Mr. Greer will address the technical aspects of this assumption in his rebuttal
7 testimony. However, the point Mr. McPeak, Mr. McMahon, and Ms. Murray
8 overlook is that BellSouth developed the 10-pair assumption based upon
9 BellSouth's own experiences and practices in administering its network. This
10 same assumption is incorporated into the cost studies for BellSouth's own
11 tariffed Business Class ADSL service, which assume that BellSouth will
12 remove load coils and related equipment from loops less than 18 kft for 10 pair
13 at one time on average. Incorporating the same 10-pair load coil removal
14 assumption in both its ADSL and UNE cost studies ensures consistency.

15

16 Q. WHY IS IT THAT BELLSOUTH'S PROPOSED RATE FOR ULM -
17 BRIDGED TAP REMOVAL DOES NOT DISTINGUISH BETWEEN THE
18 LENGTH OF THE LOOP FROM WHICH BRIDGED TAP IS BEING
19 REMOVED?

20

21 A. Unlike load coil removal, the work involved in removing bridged tap is not
22 dependent on loop length.

23

24

25

1 Q. MS. MURRAY COMPLAINS ABOUT THE APPROACH USED BY
2 BELLSOUTH IN DEVELOPING ITS ULM - ADDITIVE. ARE HER
3 COMPLAINTS VALID?

4

5 A. No. The ULM - Additive rate is used to recover part of the cost of removing
6 load coils on copper loops of less than 18 kft. Since BellSouth removes load
7 coils from such loops for 10 pair at one time on average, and only 1/10 of the
8 cost of load coil removal is reflected in the rate for ULM Load Coil/Equipment
9 Removal - Short, the decision must be made as to how to recover the
10 remaining 90% of the cost for the load coil removal. BellSouth's additive
11 approach is a reasonable method of recovering the remaining 90% of the load
12 coil removal, notwithstanding Ms. Murray's claims to the contrary.

13

14 Q. PLEASE EXPLAIN HOW THE RATE FOR ULM - ADDITIVE WAS
15 DEVELOPED.

16

17 A. Because load coils are removed on average 10 pair at one time for loops of
18 less than 18 kft, BellSouth developed the additive by allocating the 10 pair as
19 follows: 20% of the cost is assigned to ULMs, 40% of the cost is assigned to
20 BellSouth, and 40% of the cost is assigned to the following xDSL loops:
21 ADSL-compatible loops, HDSL-compatible loops, and Unbundled Copper
22 Loops - Short (since these are the xDSL loop types of less than 18 kft affected
23 by the 10-pair load coil removal assumption). These assumptions are
24 reasonable and are based on BellSouth's best judgment as to the market
25 penetration that will be achieved by competing carriers offering xDSL services.

1 Mr. McMahon's claim that BellSouth's assumptions are "questionable"
2 because they assume a "total penetration of 60% in BST's territory" is wrong.
3 First, BellSouth does not assume that competing carriers will be using 60% of
4 all xDSL loops. Rather, BellSouth assumes that the 40% of the cost that is not
5 assigned to ULM or to Bellsouth will either be recovered from another
6 requesting carrier or not recovered at all. Second, many carriers competing
7 against BellSouth have developed business plans solely around serving the
8 xDSL market.

9
10 In developing the additive for unloading 10 pair at one time, it is assumed that
11 2 pair will be used by the requesting carrier ordering the ULM Load
12 Coil/Equipment Removal - Short (even though, historically, orders for load
13 coil removal for loops less than 18 kft have been for one loop at a time). Forty
14 percent of the cost for unloading the 10 pair is essentially absorbed by
15 BellSouth. In other words, it is assumed that 4 pair of the 10 unloaded pair
16 will be used by BellSouth, which means that this 40% is ignored in developing
17 the ULM - Additive. The remaining 40% of the total cost of unloading 10 pair
18 is spread across the entire forecast of ADSL-compatible loops, HDSL-
19 compatible loops, and Unbundled Copper Loops - Short. Thus, the remaining
20 40% of the cost of unloading 10 pair is then said to be an "additive cost" for
21 these types of xDSL loops. This additive cost is included in the nonrecurring
22 rate element for ADSL-compatible loops, HDSL-compatible loops, and
23 Unbundled Copper Loops - Short.

24
25

1 Q. MS. MURRAY CONTENDS THAT BELLSOUTH'S ULM - ADDITIVE
2 CREATES THE POTENTIAL FOR BELLSOUTH OVER-RECOVERING
3 ITS LOOP CONDITIONING COSTS. DO YOU AGREE?

4

5 A. No. While I do not disagree with Ms. Murray's mathematical
6 calculations on pages 92 and 93 of her testimony, she is looking at the issue
7 from the wrong perspective. BellSouth developed its ULM - Additive based
8 upon total demand, not on a carrier by carrier basis. If one were to look at
9 total demand, as BellSouth did in developing its ULM - Additive, there is no
10 over-recovery of loop conditioning costs. Indeed, using Ms. Murray's
11 example, if a competitor were to order two of the ten loops conditioned by
12 BellSouth, but no competitor subsequently ordered four of the remaining ten
13 loops, BellSouth would never recover all of the costs of having removed the
14 load coils.

15

16 Q. MS. MURRAY ASSERTS THAT "BELLSOUTH SHOULD OFFER A
17 SINGLE TYPE OF TWO-WIRE DSL-CAPABLE LOOP." DO YOU
18 AGREE?

19

20 A. No. The rates BellSouth has proposed for the loops intended to support xDSL
21 services correspond to the loops BellSouth actually offers to requesting
22 carriers and that requesting carriers can and do purchase from BellSouth.
23 These include:

24 (a) ISDN loop - Standard 2-wire Basic Rate ISDN (BRI) circuits that
25 support 2B+D traffic;

- 1 (b) Unbundled Digital Channel – This loop is the same as the 2-wire
2 ISDN loop above, except it is provisioned uniquely to support
3 IDSL service;
- 4 (c) ADSL-compatible loops – 2-wire loop that is provisioned only on
5 copper facilities and meets industry specifications for Revised
6 Resistance Design (RRD). This means non-loaded copper, less
7 than 18 kft, no more than 6 kft of inclusive bridged tap and has
8 1300 ohms or less of resistance.
- 9 (d) HDSL-compatible loops – 2-wire or 4-wire circuits that are only
10 provisioned on copper and meet industry specifications for Carrier
11 Serving Area (CSA) loops. This means non-loaded copper, less
12 than 12 kft, no more than 2.5 kft of bridged tap and has 850 ohms
13 or less of resistance.
- 14 (e) Unbundled Copper Loops (UCL) - Short – 2-wire or 4-wire
15 circuits that are provisioned using industry standard specifications
16 for Resistance Design (RD) loops. This means non-loaded copper,
17 less than 18 kft, no more than 6 kft of exclusive bridged tap and has
18 1300 ohms or less of resistance.
- 19 (f) Unbundled Copper Loops (UCL) - Long – 2-wire or 4-wire circuits
20 that are provisioned using non-loaded copper. They are longer
21 than 18 kft, may have up to 12 kft of exclusive bridged tap and may
22 have up to 2800 ohms of resistance.

23 Each of these product offerings is different, and Ms. Murray's attempt to have
24 a "one rate fits all" ignores these differences.

25

1 Q. WILL EACH OF THE LOOP TYPES OFFERED BY BELLSOUTH
2 SUPPORT EACH CARRIER'S xDSL OFFERINGS?

3

4 A. Not necessarily, which is one reason BellSouth offers a number of different
5 loop types so that each carrier can decide for itself which particular loop type
6 will support its particular xDSL service. XDSL services are highly dependent
7 upon the equipment used to provide that service. For example, one vendor's
8 DSLAM may operate fine on an 18 kft loop with minimal bridged tap, while
9 another's may not. Therefore, BellSouth cannot guarantee that an xDSL
10 service will work at any particular bit-rate or function at all on every
11 unbundled loop provided by BellSouth. However, BellSouth does guarantee
12 that the xDSL loop described above will meet a pre-defined set of
13 transmission characteristics, which are usually dictated by industry standards.
14 BellSouth publishes a technical reference document (TR73600) that contains
15 a very detailed listing of the loops' characteristics, which allows the
16 requesting carrier to determine for itself how its equipment will operate on
17 any given loop type. Thus, BellSouth is in no way attempting to "dictate
18 what services a competitor may provide over an unbundled loop," as Ms.
19 Murray claims.

20

21 Q. ARE THERE OTHER TYPES OF XDSL LOOPS THAT AN ALEC MAY
22 REQUIRE THAT BELLSOUTH DOES NOT CURRENTLY OFFER?

23

24 A. Not to my knowledge. The types of xDSL loops offered by BellSouth are
25 capable of supporting all current xDSL technologies in use. However, as new

1 xDSL technologies are introduced, BellSouth will work with the industry to
2 determine if additional types of xDSL loops are required.

3

4 Q. MS. MURRAY CLAIMS THAT BELLSOUTH'S DISTINCTION
5 BETWEEN ITS UCL-SHORT LOOP OFFERING AND ITS UCL-LONG
6 LOOP OFFERING IS NOT APPROPRIATE. PLEASE RESPOND.

7

8 A. The ironic point here is that BellSouth's UCL-Short and UCL-Long loop
9 offerings are consistent with requests by at least one of Ms. Murray's clients
10 (as well as requirements of the FCC). BellSouth previously advised Ms.
11 Murray's client that UCLs should be limited to loops of a length within which
12 it is technically feasible to provide xDSL services. However, at least one of
13 Ms. Murray's clients insisted on being able to obtain an unbundled copper loop
14 that was unlimited in length, and BellSouth complied with this request by
15 offering the UCL - Long. Now Ms. Murray criticizes BellSouth for giving her
16 client what it requested. Ms. Murray also says loops longer than 21,000 feet
17 should not be considered for xDSL services, even though at least one of her
18 clients expressly requested a loop that was unlimited in length.

19

20 Q. MS. MURRAY COMPLAINS ABOUT THE DIFFERENCE IN
21 BELLSOUTH'S PROPOSED RATES FOR UCL - SHORT AND NON-
22 DESIGNED SERVICE LEVEL 1 (OR SL1) LOOPS. WHAT IS MEANT
23 BY THE TERM SL1 LOOP AND HOW DOES IT DIFFER FROM OTHER
24 VOICE GRADE LOOPS OFFERED BY BELLSOUTH?

25

1 A. An SL1 loop is a 2-wire voice grade non-designed loop that is intended to
2 support POTS-like voice grade services. It may be provisioned using any
3 technology that will provide voice grade services. This includes copper,
4 Digital Loop Carrier ("DLC"), fiber, etc. In order to reduce the cost for these
5 loops, they are not provisioned with test points and do not come with a Design
6 Layout Record (DLR) or any type of coordinated conversion activity.

7

8 By contrast, a Service Level Two (or SL2) loop is a designed loop that is
9 available in 2-wire and 4-wire versions and may be provisioned using any type
10 of loop technology. Unlike an SL1 loop, the SL2 loop comes standard with a
11 test point, DLR and Order Coordination, which is a manual coordinated
12 conversion process that ensures the end user's dial-tone is not interrupted for
13 more than 15 minutes.

14

15 Q. WHAT IS THE DIFFERENCE BETWEEN SL1 LOOPS, SL2 LOOPS, AND
16 xDSL LOOPS?

17

18 A. SL1 and SL2 loops are designed to support voice grade services. By contrast,
19 xDSL loops such as HDSL-compatible and ADSL-compatible loops and
20 Unbundled Copper Loops are intended to support the transmission of higher
21 frequency signals used in xDSL technologies. In many instances, electronic
22 equipment such as a DLC used to provide SL1 and SL2 service will not pass
23 the higher frequency xDSL signals.

24

25

1 Q. IS IT POSSIBLE FOR A CARRIER TO USE EITHER AN SL1 LOOP OR
2 AN SL2 LOOP TO PROVIDE xDSL SERVICE TO ITS CUSTOMER?

3

4 A. Yes. However, the xDSL service may or may not work, depending upon the
5 type of loop facilities used to provide the SL1 or SL2 loop. If the SL1 or SL2
6 loop is provided using a DLC system, is provided using loaded copper pairs, or
7 if the SL1 or SL2 loop has excessive bridged tap, the xDSL service may not
8 function properly. If, on the other hand, the requesting carrier knows that the
9 SL1 or SL2 loop is provisioned over non-loaded copper plant and the loop is
10 within the distance limitations for the xDSL technology being utilized, or if the
11 carrier utilizes BellSouth's loop makeup process to screen the loop facility at a
12 particular customer address, the carrier may decide to use an SL1 or SL2 loop
13 for its xDSL service. In cases where bridged tap may pose a problem, the
14 requesting carrier may order bridged tap removal as an unbundled network
15 element. In short, SL1 and SL2 loops are available for a requesting carrier as
16 a means to support its xDSL service (although not recommended by
17 BellSouth), but there are very real differences between these offerings -
18 differences that Ms. Murray conveniently ignores.

19

20 Q. PLEASE RESPOND TO MS. MURRAY'S CONTENTION THAT "A LOOP
21 IS A LOOP," A POSITION THAT SHE BASED ON THE FACT THAT
22 SPRINT AND GTE DID NOT PROPOSE A DISTINCTION BETWEEN
23 xDSL-CAPABLE LOOPS AND VOICE-GRADE LOOPS.

24

25

1 A. Ms. Murray's contention is wrong. While I am no expert on what loops either
2 Sprint or GTE offers, the only conclusion I can draw is that Sprint and GTE
3 do not offer the same selection of xDSL-capable loops that BellSouth offers.
4 However, all of BellSouth's xDSL loop offerings are optional. If Ms.
5 Murray's clients desire to utilize BellSouth's SL1 or SL2 offerings to provide
6 their xDSL service, that is their choice. BellSouth's xDSL-capable loops
7 represent simply another service offering from which requesting carriers can
8 choose. If Ms. Murray's clients do not want to use BellSouth's xDSL-capable
9 loops for their DSL services, they don't have to. Again, contrary to Ms.
10 Murray's claims, BellSouth does not, nor does it make any attempt to "dictate
11 what services a competitor may provide over an unbundled loop."

12

13 Q. PLEASE RESPOND TO MS. MURRAY'S CLAIM THAT ALECS WOULD
14 NOT NEED TO REQUEST "CLEAN COPPER LOOPS" IF ILECS HAD
15 "THE FORWARD-LOOKING NETWORK ARCHITECTURE THEY
16 ASSUMED IN THEIR RECURRING COST ANALYSES".

17

18 A. The fact is that xDSL loops (i.e., HDSL-compatible, ADSL-compatible and
19 UCL loops) are copper loops. Given this fact, basing rates for a service upon
20 a fiber technology that cannot even be used to provide that service would be
21 inappropriate. For Ms. Murray to contend that BellSouth should have
22 proposed rates for an xDSL-capable loop as if it were essentially the same as a
23 voice-grade loop is mixing apples and oranges. The xDSL-capable loops that
24 BellSouth offers are loops that meet certain design requirements necessary to

25

1 provide xDSL service. The same cannot be said about either an SL1 or SL2
2 loop.

3

4 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

5

6 A. Yes.

7

8 PC DOCs #225382

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. EDENFIELD:

2 Q Mr. Latham, did you prepare a summary of your
3 testimony?

4 A Yes.

5 Q Would you give that now, please?

6 A My rebuttal testimony is intended to describe
7 how BellSouth has developed its UNE loop and loop
8 conditioning products, and to explain why we adopted the
9 assumptions set that is used to develop our cost studies.

10 Once these descriptions and explanations are
11 delivered, I am confident that the Commission will see
12 that the structure and rates for these offerings are very
13 reasonable and will allow local telephone competition to
14 flourish within the State of Florida while concurrently
15 allowing BellSouth to recover its costs from the
16 cost-causer.

17 Specifically, my testimony addresses five items.
18 First, the structure of BellSouth's unbundled loop
19 modification offering. This is our loop conditioning.
20 Our name for loop conditioning is unbundled loop
21 modifications, and why it is appropriate. Number two, why
22 our cost studies assume that we unload ten pairs at a time
23 versus 25 pairs. Three, how the unbundled loop
24 modifications additive provides a win/win solution for
25 BellSouth, the ALECs, and the end users. Four, why there

1 are different types of loops for different types of
2 services. And, finally, number five, why I believe it
3 would not be appropriate for the Commission to use a voice
4 grade loop rate as a surrogate rate for xDSL loops.

5 Loop conditioning primarily involves the removal
6 of load coils and/or bridged tap from copper loops. The
7 existence of load coils is highly dependent upon the
8 length of the loop that serves an end user and the type of
9 service they desire. Bridged tap is a completely
10 different animal.

11 Therefore, BellSouth's unbundled loop
12 modifications offering has three primary elements; load
13 coil removal from copper loops less than 18,000 feet, load
14 coil removal from copper -- sorry, load coil removal from
15 copper loops greater than 18,000 feet, and removal of
16 bridged tap from loops of any length. This structure
17 reflects the fundamental differences in providing these
18 distinctive states of conditioning and allows BellSouth to
19 recover the costs appropriately for the functions that we
20 perform.

21 Since load coils are required to be on copper
22 loops greater than 18,000 feet in order to provide normal
23 POTS service, it makes the most sense to remove these
24 items only from the specific number of pairs requested by
25 the ALEC. To do otherwise could jeopardize the end user's

1 ability to get phone service in a timely and
2 cost-efficient manner.

3 For copper loops less than 18,000 feet load
4 coils are not needed to provide normal POTS service but
5 may be needed for other types of services. Therefore,
6 BellSouth's assumes ten pairs will be unloaded during each
7 dispatch for this type of conditioning activity.
8 Unloading more pairs could disrupt the services that are
9 working today on those circuits and this might include ATM
10 circuits or other analog data devices that have been
11 adjusted to compensate for the existence of the load
12 coils, so the circuits may not work properly if the load
13 coils are removed.

14 The ULM additive was developed to recover those
15 costs that would otherwise go unrecovered if it were not
16 for the additive element. The vast majority of orders for
17 xDSL compatible loops that BellSouth receives are for a
18 single loop at a time. And since BellSouth is assuming
19 that the cost of conditioning short loops is spread evenly
20 across ten pairs, that means that the requesting ALEC is
21 typically only paying 1/10th of the total cost incurred by
22 BellSouth to unload the pairs.

23 Therefore, the ULM additive was developed as a
24 means to equitably recover or otherwise account for the
25 remaining 9/10ths of that cost. This allows the

1 requesting ALEC to get the pairs that they need at a
2 fraction of the actual cost and they also -- the ALEC
3 community, in general, gets additional pairs conditioned
4 for future use, the end users get the benefit of having
5 multiple competitors in a competitive marketplace, and
6 BellSouth gets to recover its costs.

7 The fact that different services need different
8 types of loops is certainly not a new concept. Many of
9 the same factors that dictate that a DS-1 loop will not
10 support DS-3 service also dictate that a voice loop is not
11 likely to support xDSL service. It is understood in the
12 telecom industry that DS-1 loops and DS-3 loops each have
13 their own unique set of qualifying criteria and are priced
14 according to those factors.

15 Similarly, voice grade loops and xDSL capable
16 loops have different requirements to ensure that they work
17 properly for their intended services. They too should be
18 priced according to those requirements. Just as it would
19 be inappropriate for the rate of a DS-3 loop to be set at
20 the same rate as a DS-1 loop, it also would be
21 inappropriate for an xDSL loop to be set at the same rate
22 as a voice grade loop.

23 So in conclusion I believe that the
24 Commission -- there are four things that the Commission
25 should validate. One, that BellSouth's unbundled loop

1 modifications structure is appropriate; that, number two,
2 BellSouth's ten pair assumption is the best approach for
3 dividing the costs of this conditioning; three, that the
4 ULM additive is appropriately developed and applied; and,
5 four, rates for voice grade loops such as SL-1 are not
6 appropriate for xDSL loops.

7 And that concludes my summary.

8 MR. EDENFIELD: Mr. Latham is available for
9 cross-examination.

10 CHAIRMAN DEASON: Whoever wishes to go first.

11 CROSS EXAMINATION

12 BY MR. MARCUS:

13 Q Hello, Mr. Latham. My name is Jeremy Marcus.
14 I'm with Blumenfeld and Cohen, representing Rhythms Links,
15 Inc.

16 How are you this afternoon?

17 A Great. And you?

18 Q Pretty good, thank you. Can you briefly
19 describing your history of working at BellSouth for us?

20 A I have worked with BellSouth for approximately
21 15 years, have had various jobs primarily in the sales and
22 marketing department. I have had some interaction with
23 both state and regulatory issues in staff support
24 functions culminating in the last probably five and a half
25 years working on local competition issues. And most

1 recently, the last approximately four years, specifically
2 to product management for unbundled loops, loop
3 conditioning, and some of the other elements that are
4 being discussed in this hearing.

5 Q As the product manager for unbundled loops, is
6 it your responsibility to define the products and -- the
7 unbundled loop products and loop conditioning products?

8 A Yes.

9 Q Did you provide any of the cost inputs for those
10 products?

11 A No. I did not provide any of the cost inputs
12 themselves, but worked with the project team to define the
13 characteristics of the product so that the subject matter
14 experts on the project team could refine the cost inputs
15 that they did give to the people who actually performed
16 the cost study.

17 Q And the subject matter experts, they gave those
18 cost inputs to you or they gave them to the cost team?

19 A No, they would have given them to the people who
20 actually performed the cost study, they would not give
21 them to me.

22 Q And what do you understand your role in this
23 proceeding to be?

24 A My role in this proceeding, as my summary
25 indicated, was to explain the development process that

1 took place and to describe why we adopted the assumption
2 sets that we did that ultimately led to the products being
3 developed the way that they were, structured the way they
4 were, and costed the way that they were.

5 Q Have you ever been responsible for directly
6 installing outside plant yourself?

7 A No, I have not.

8 Q Have you ever supervised individuals who have
9 had that as their main responsibility?

10 A No, I have not.

11 Q Are you here to testify as an expert as to the
12 work activities that go into loop conditioning?

13 A No.

14 Q Were you present at Ms. Caldwell's testimony
15 yesterday?

16 A Most of it, yes.

17 Q So how is it that you designed the DSL loop
18 products if you have never designed BellSouth's plant
19 itself?

20 A Is your question how was I able to write the
21 service description for the SL-1 loop if I have never
22 installed plant?

23 Q It would be for any of the loop products that
24 you have designed the assumptions around, yes.

25 A Primarily, I review regulatory requirements for

1 the development of these things, and I negotiate and
2 interact directly with the ALEC community, the customers
3 who ultimately purchase these loops. And by understanding
4 the requirements for the various UNE loops and other
5 elements that we have, I can write a description about
6 what the element is and how it should be provided in
7 concert with the subject matter experts that are on our
8 team gathering input from them to supplement the
9 information that I have gleaned from either regulatory
10 requirements for developing these items or contractual
11 obligations through the negotiations process with the
12 CLECs to better understand what is needed and what is
13 required and then applying that appropriately within the
14 framework of BellSouth's operational systems and support
15 structure.

16 Q So then most of the information you use to
17 design these products, if not all of it, comes from
18 conversations with others, primarily I believe you said
19 subject matter experts within BellSouth, is that correct?

20 A Not exactly. Again, it is reading and
21 understanding regulatory requirements, talking directly
22 with CLECs, and, yes, some portion of it, perhaps a large
23 portion of it is due or comes from talking with people who
24 do have actual plant experience and other experience
25 working directly with our operational support systems and

1 who have actually touched these elements.

2 And I, myself, have done field visits to go out
3 and see what goes on. Even though I haven't actually done
4 the work, I have gone out and ridden with technicians and
5 looked at these items to better understand how they fit
6 together so that I can do my job better.

7 Q Have you ever installed or removed a load coil
8 or bridged tap?

9 A No, I have not.

10 Q Are you the individual who came up with the
11 distinctions between what is a designed versus nondesigned
12 loop for BellSouth?

13 A No, not the person who came up with what
14 constitutes a designed loop versus a nondesigned loop.
15 But I am the person who applied those existing principles
16 about what constitutes a designed product and a
17 nondesigned product in the service description for the
18 SL-1, i.e., nondesigned loop, and the SL-2, being our
19 designed loop.

20 But the actual parameters about what the
21 designed process is versus a nondesign process was already
22 in existence before I came to BellSouth, I'm sure, and
23 certainly before I became product manager for unbundled
24 loops.

25 Q Are you aware that several ALECs in this

1 proceeding have stated that an xDSL loop should be a
2 nondesigned loop?

3 A I have heard that through these proceedings and
4 things that I have read, yes.

5 Q And were the things you read for this proceeding
6 the first time you have heard that?

7 A To the best of my recollection, yes.

8 Q And how early in this proceeding?

9 A While reviewing the testimony prior to writing
10 my rebuttal testimony, so I would say within the last
11 month.

12 Q So you were not shown the issues list in this
13 proceeding when it came out, I believe, last winter?

14 A The issues list. Not to my recollection, no.

15 Q Then you would not be aware that, I believe,
16 Issue Number 3 in this proceeding is what is the proper
17 definition of an xDSL loop?

18 A No, I haven't seen that issues list that I can
19 recall.

20 Q So when you were coming up with the unbundled
21 loop products descriptions and assumptions to provide to
22 Ms. Caldwell for her to cost, you were not aware that
23 there was a potential difference between BellSouth and
24 ALECs in what an xDSL loop was, is that correct?

25 A Well, I know that there are differences about

1 what the ALEC community thinks should constitute an xDSL
2 loop, but not relative to the service description that I
3 wrote that ultimately resulted in her cost study.

4 Q Are you familiar with a docket before the
5 Georgia Public Service Commission on DSL loops? I am
6 referring to Docket 11900 in which two workshops would
7 have been held earlier this year?

8 A I am familiar with the Georgia xDSL workshops,
9 yes.

10 Q And did you attend those workshops?

11 A Two of them anyway. I'm not sure if there were
12 more.

13 Q And would it be fair to say that one of the
14 points of discussion in those workshops would be the
15 proper definition of an xDSL loop?

16 A That is true.

17 Q So then you have been aware at least since those
18 workshops that there is some contention?

19 A If I remember correctly your original question
20 or premise had to do with whether or not they should be
21 designed or nondesigned, is that correct?

22 Q That was a question I asked, yes.

23 A I am aware, as I said, that there is a general
24 difference about -- between the ALEC community and
25 BellSouth in this case about the total definition of what

1 constitutes an xDSL loop. But relative to the issue of
2 whether it should be designed or nondesigned, I only
3 became aware of that issue within the last month, as I
4 stated earlier.

5 Q How long have you been aware that there may have
6 been some distinction between ALECs and BellSouth as to
7 what constitutes an xDSL loop?

8 A Well, there has been some debate on different
9 types of xDSL loops, I would say, for the past year, year
10 and a half.

11 Q And when you provided the assumptions to Ms.
12 Caldwell so that she could develop the costs for your
13 various loops products, did you inform her that some ALECs
14 had a different view of what an xDSL loop was, and did you
15 inform her what the ALEC assumptions might have been?

16 A No, there would have been no reason for me to
17 inform her of that.

18 Q So there would have been no reason for her to
19 attempt to develop the cost for the loop that the ALECs
20 believe should exist?

21 A Not from my perspective as product manager. As
22 product manager, I develop the unbundled loops that,
23 again, as I said, are either required by regulatory
24 mandate or that we have negotiated with ALECs
25 individually. And so as product manager I would write the

1 service descriptions for those type things, and I would
2 give that to the project team so that the SMEs can
3 understand what the definition is, such as the definition
4 that the loop would extend from the distribution frame in
5 the serving wire center up to and including the network
6 interface device at the customer prem, whether it was a
7 two-wire or a four-wire facility, those kind of things.

8 So that once the team discussed what it takes to
9 actually operationalize these products, then that cost --
10 those cost inputs are gathered by the team and ultimately
11 go to Ms. Caldwell and her group, and they calculate the
12 output of that. So, no, I could not see the need for me
13 to in the responsibilities of my job to volunteer that oh,
14 well, here is the product as we want you to cost it out,
15 but just be aware that there are some debates as to
16 whether the CLECs agree with these or not. I would not
17 have done that.

18 Q So then it would have been impossible for Ms.
19 Caldwell and the cost team to properly cost out an xDSL
20 loop as ALECs would define an xDSL loop because she was
21 not given the information that would have allowed her to
22 do that, is that correct?

23 A I do not agree with that because she would have
24 many other ways of determining that information other than
25 getting it from me?

1 COMMISSIONER JABER: Do you know if she did?

2 THE WITNESS: No, I do not know for sure. But
3 based on what I have heard in this proceeding it seems
4 that she was aware of that, because I believe yesterday
5 she testified that she ran an all-copper model to
6 accommodate specific needs of these copper loops. But I
7 don't know that that was specifically driven from ALEC
8 input necessarily.

9 BY MR. MARCUS:

10 Q Actually, I don't have a transcript to read back
11 to you, but I believe what Ms. Caldwell said, and I will
12 ask you to accept it subject to check, was that what she
13 costed would have been unbundled loops based on technology
14 that would be available between 2000 and 2002, based on
15 ALECs desiring them, and based on the product team willing
16 to provide it.

17 And so if you, as the head of the product team,
18 were not willing to provide it, there would have been no
19 way under those three standards, particularly that third
20 one, that she would have costed the xDSL loop as desired
21 by the ALECs.

22 A Is that a question?

23 Q Is that correct, yes?

24 A Is what correct?

25 Q Given those three assumptions that there is no

1 way that the BellSouth cost team would have costed an xDSL
2 loop as desired by ALECs?

3 A Again, based on the things that you read out I
4 do not believe that that is correct, because I know that
5 the cost group performs cost studies other than what may
6 be directed by myself or my counterparts, other product
7 managers. They perform cost studies at the direction of
8 the regulatory groups and other people within BellSouth.

9 Q But if you were to assume that one of the
10 criteria that Ms. Caldwell used or that the product team
11 was willing to provide the element, then unless you have
12 told her that you are providing it, she is not going to be
13 costing it, is that correct, based on that assumption?

14 A Well, based on that assumption, I guess it is
15 correct. But that is a wrong assumption. Because as I
16 stated, that the cost people prepare cost studies all the
17 time without the specific direction from the product team
18 or the product manager.

19 Q So then you don't recall Ms. Caldwell stating
20 that that was one of the criteria she used in what she was
21 costing?

22 A No, I do not recall that.

23 Q Let's move back to the issue of designed versus
24 nondesigned loop for a minute. Is an SL-1 loop a designed
25 loop?

1 A No, a SL-1 loop is a nondesigned loop.

2 Q And an SL-2 loop?

3 A SL-2 is a nondesigned voice grade -- I'm sorry,
4 SL-1 is a designed voice grade loop.

5 Q Do you have your testimony in front of you?

6 A Yes, I do.

7 Q Could you please turn to Page 10, Lines 10
8 through 13?

9 A Okay.

10 Q Are you with me?

11 A Yes.

12 Q In this part of your testimony I believe you
13 identify three characteristics of a nondesigned loop. And
14 those would be that there is a test point, that the ALEC
15 gets a design layout record or DLR, and that the designed
16 loop comes with order coordination, is that correct?

17 A Yes. The SL-2 voice grade loop does come with
18 those three elements that you mentioned.

19 Q Are the xDSL loop types that you have created
20 the specifications for defined design loops?

21 A Yes. All of the xDSL loop types that we offer
22 are considered to be designed loops. And, in fact, all of
23 our unbundled loops that we offer are designed loops with
24 the exception of the SL-1 voice grade loop.

25 Q So your DSL loops would come with a test point,

1 a DLR, and order coordination, is that correct?

2 A Well, not entirely. It's a little bit of a
3 mixed bag. The two original xDSL capable loops that were
4 developed as a result of the FCC's First Report and Order
5 called for ADSL and HDSL capable loops. And at that time
6 we were including all three of those items in all of our
7 designed offerings. The test point, the fact that they
8 were designed, and order coordination was all included as
9 a part of the nonrecurring charge for those two loop
10 types.

11 Subsequently to that, at the request of various
12 CLECs, some of which who are a party to this hearing,
13 requested the development of the unbundled copper loop
14 short as it is now known, and they are designed loops so
15 the DLR comes with them as a by-product and they are
16 provisioned with test points. But it was determined that
17 in most cases that the unbundled copper loops would be
18 additional lines. They would not be replacing someone's
19 existing service.

20 And so we did not include order coordination in
21 the nonrecurring cost for that loop type. Instead we made
22 it optional item that if the ALEC needed order
23 coordination for some reason they could still get it and
24 pay extra for it.

25 Q So if an ALEC was to order an ADSL capable loop

1 from BellSouth that automatically comes with order
2 coordination. But if the ALEC orders the UCL short it is
3 an optional feature with an additional charge?

4 A Correct. That is the way that those products
5 are structured today. But any of these loop types or the
6 attributes that go along with them are subject to
7 negotiation with the individual CLECs -- or ALECs, I'm
8 sorry.

9 Q So then it is your belief that for all of the
10 xDSL loop types that BellSouth offers, the ALEC desires a
11 test point and the DLR?

12 A I wouldn't state that categorically. No one --
13 to my recollection no ALEC has ever said that we, you
14 know, want or don't want a test point. During the
15 negotiations of our contract, no one has asked for an xDSL
16 loop that either did or did not have a test point. And
17 what was the other item you mentioned?

18 Q The design layout record or DLR.

19 A Relative to xDSL loops that also applies.
20 However, when we were originally developing unbundled
21 loops in general, again, as I mentioned from the outset of
22 the FCC's 96325 order, the vast majority of the ALECs that
23 we negotiated unbundled loop contracts with did desire a
24 design layout record as a part of that provisioning
25 process so that they could understand or know the

1 characteristics of the loop type that we handed to them.
2 After we had done everything we needed to do to ensure
3 that it was tested and worked properly they wanted to
4 understand what the characteristics of it were. So the
5 DLR was something that was highly demanded by ALECs in
6 general. I can't recall -- I think your question
7 specified data CLECs, is that correct?

8 Q It didn't, but you can assume that, yes.

9 A I don't recall any discussions by specifically
10 data ALECs relative to whether they wanted a DLR or not
11 during their negotiation process.

12 COMMISSIONER JACOBS: Is that tied at all to the
13 idea -- I'm sorry, I can't remember, I think it was Mr.
14 Pate this morning, when he explained how the -- how an
15 ALEC actually is assigned a line. If I am correct they
16 can't reserve a line. They ask -- they do the order and
17 then you give them a selection. I assume it is a
18 selection out of one of the ten. Does this DLR help them
19 identify whether or not they want to accept the offer that
20 you made, the selection that you have made in terms of a
21 pair? Do you follow my question?

22 THE WITNESS: I believe so. Let me answer it
23 this way, and then if I haven't answered your question I
24 will be happy to try again. But the electronic
25 prequalification or preordering tool that you are

1 referring to, I believe -- I am not the product manager
2 for that, but I have general understanding of it -- allows
3 the ALEC to come in and based on the type of loop that
4 they are looking for, it gives them, I believe it is up to
5 ten loop makeups. They get the loop makeup for up to ten
6 pair of wires.

7 And that loop makeup information that they look
8 at, in other words, how long the loop is, does it have
9 load coils or not, how much bridged tap does it have, that
10 type of information allows them to see if there is a
11 particular loop there that they like and want. And if
12 they do like it, they can reserve that pair and then
13 subsequently issue an order for an xDSL capable loop for
14 the pair that they have reserved.

15 Now, once they place that order, since the xDSL
16 capable loops are designed, BellSouth will go through the
17 design process of making sure that that pair of wires has
18 all of the physical and electrical characteristics that it
19 is supposed to have. So that designing process, the
20 output of that or a by-product of that is this DLR, the
21 design layout record.

22 So the DLR is done as the loop is being deployed
23 or provisioned. And so it somewhat syncs up with the loop
24 makeup information that they see on the front end, but
25 then the DLR information is, again, I guess affirming that

1 what they asked for is actually what they got.

2 COMMISSIONER JACOBS: Thank you.

3 BY MR. MARCUS:

4 Q Now, that DLR, that is provided after BellSouth
5 has provided the loop to the ALEC, correct?

6 A Correct.

7 Q Whereas loop makeup information is provided
8 prior to the ALEC placing the order?

9 A Correct.

10 Q Was BellSouth providing access to loop makeup
11 information back two, three, or four years ago when you
12 were initially negotiating your agreements with ALECs or
13 was it only offering to provide DLRs?

14 A We did not have the -- neither the electronic
15 loop makeup database that is in place today, nor did we
16 have the manual loop makeup process that is also available
17 today. But what we did have was the service inquiry
18 process that would allow the ALEC to come to us and say,
19 "I want this type of loop, an ADSL capable loop, or an
20 unbundled copper loop short, or whatever."

21 They could tell us the type of loop that they
22 were looking for and then we would go through a manual
23 internal process to determine if a loop like that was
24 available. If it was not available, we would go back to
25 the ALEC and say, "It is not available at that address."

1 The type of loop that you want is not available at that
2 address because," and it would either list, you know,
3 loaded facilities, or that there were no copper
4 facilities, or that it was out of range, it was too long
5 to meet the parameters that they looked for.

6 Q But an ALEC had to specify one of the products
7 that BellSouth had designed as opposed to saying the xDSL
8 loop that the ALEC wanted under the ALEC's specifications?

9 A Yes. The service inquiry process asked the ALEC
10 to specify the type of loop that they wanted, and the
11 types of loops that were listed on that service inquiry
12 process would have been the loops that either we had some
13 reason to believe that we were required to provide it
14 through some regulatory mandate or that we had agreed to
15 provide to the CLECs through our contract negotiations.

16 Q Thank you. Do you have any information on
17 whether ALECs, in particular data ALECs, desire test
18 points or do you not know?

19 A I don't know specifically. I don't recall any
20 specific discussions about that. I would say that the
21 data CLECs, since you specified them -- no, again, I don't
22 recall whether they are desired or not by the data CLEC
23 community.

24 Q Would it surprise you to learn that at least
25 some of the data ALECs do not desire designed loops?

1 A No, that wouldn't surprise me.

2 Q And yet you are not willing to offer an xDSL
3 loop as a nondesigned product, is that correct?

4 A No, that is not correct. We have said all along
5 that we are willing to negotiate. To the extent that it
6 is technically feasible, are willing to negotiate any loop
7 type that a CLEC would come to us and request through the
8 negotiation phase of their interconnection agreement.

9 Q So then it is your position that no ALEC has
10 approached you to negotiate that?

11 A I can't recall any ALEC approaching us about
12 developing a nondesigned xDSL loop, no.

13 Q If you were to design a nondesigned xDSL loop,
14 do you expect that you would then have a need to provide
15 different assumptions for costing purposes to the
16 BellSouth cost team?

17 A Yes.

18 COMMISSIONER JABER: Is there less cost
19 associated with a nondesigned xDSL loop?

20 THE WITNESS: Yes, ma'am, there would be --
21 really not pertinent to whether it was xDSL, but the fact
22 that you are not doing the design work would make any loop
23 less expensive from a nonrecurring perspective, that is
24 correct. That is one of the primary differences -- if I
25 could add a little to that, again, between the SL-1 and

1 SL-2 that we were talking about earlier. The loop that is
2 now known as the SL-2 loop was the original voice grade
3 loop that was developed by BellSouth.

4 And as I said before, all of the CLECs or ALECs
5 that I was aware of at that time did want the DLR. So we
6 designed the voice grade loop so that they could get the
7 DLR as a result of that. Then subsequently in an attempt
8 to provide a less expensive voice grade loop from a
9 nonrecurring perspective, one of the main cost reduction
10 factors would have been to not design it and to not do the
11 order coordination activity that we talked about earlier.
12 Those were the primary factors that made the nonrecurring
13 cost higher. So we took those out as we developed the
14 SL-1 loop.

15 COMMISSIONER JABER: In terms of frequency and
16 quality in the loop, whether it is designed or not
17 designed doesn't matter?

18 THE WITNESS: I wouldn't go that far. Designed
19 loops, because they are designed to certain parameters of
20 decibal loss and resistance and those types of things, in
21 my opinion, and I would think in the opinion of the
22 subject matter experts on the project team, would say that
23 an SL-2 voice grade loop is somewhat of a higher quality
24 loop because as we hand it to the customer, the ALEC in
25 this case, it has a known set of qualities and

1 transmission parameters that they can be assured that
2 their transmissions will be within a certain range.

3 But with an SL-1 loop, since it is not designed,
4 whatever the transmission characteristics happen to be for
5 that particular pair of wires or circuit is what is it.
6 We don't do anything to adjust it or try to improve it.
7 It is just whatever it is is what it is. So I would say
8 that an SL-2, I would categorize that as a higher quality
9 loop than an SL-1 loop in some ways.

10 COMMISSIONER JABER: In a competitive arena, if
11 the ALEC chose an SL-1 loop and that provided a lower
12 quality frequency and was less efficient, isn't that the
13 ALEC's problem? And then, in fact, doesn't that work to
14 BellSouth's favor, because if the customer isn't happy
15 they will turn to BellSouth instead of the ALEC?

16 THE WITNESS: Well, I was with you on the first
17 part of that. I believe where you said -- I do agree that
18 it is the CLEC's prerogative to choose the SL-1 loop even
19 if they recognize it to be a lower quality loop, that is
20 correct that that is their choice. And the second part
21 was?

22 COMMISSIONER JABER: That is their choice. If
23 they have any problems and they come to BellSouth and ask
24 for a better quality loop, then there is an added cost.

25 THE WITNESS: Correct.

1 COMMISSIONER JABER: So I come back to the
2 original question. Isn't that a risk a CLEC takes and,
3 therefore, it is their problem which quality loop they ask
4 for?

5 THE WITNESS: Yes, in most cases it is. But
6 BellSouth also sometimes can get caught up into the
7 negative aspects of the lower quality loops in that the --
8 and I hesitate to say lower quality, but just less
9 definition around the transmission specifications.
10 Because once those are handed to the customer, they still
11 have high expectations for how they operate. So sometimes
12 they will have problems with these loops. Even though
13 they are less expensive, and they have not asked us to do
14 the design work, and we don't have the test point on
15 there, and the other things, they still will submit
16 trouble tickets when their services don't work properly on
17 these. And so BellSouth does get caught up in it
18 sometimes. We have to track down troubles or verify whose
19 trouble it really is, is it our trouble or is it their
20 trouble, so --

21 COMMISSIONER JABER: Help me understand that.
22 Is the customer, is the end use customer calling the ALEC
23 or are they calling BellSouth?

24 THE WITNESS: Well, they should be calling the
25 ALEC. But sometimes end users may not actually know, but

1 they should be, and I would think most of the time are
2 calling the ALEC because they are the ALEC's customer in
3 that case.

4 COMMISSIONER JABER: So you would only get
5 caught up in this when the ALEC calls BellSouth and says I
6 need a better frequency loop?

7 THE WITNESS: Correct.

8 COMMISSIONER JACOBS: How does the UCL -- is it
9 a part of this whole discussion, and what I understand the
10 discussion to be is if an ALEC seeks to get a DSL
11 compatible line, what is the most cost-effective process
12 for them to do that? And as I understand, the unbundled
13 copper loop is basically a two-wire or four-wire loop that
14 is within the parameters. And if I understood your
15 earlier testimony there is a -- they can't order that
16 through the normal process. There is an additional
17 process that they would have to go through to order UCL,
18 am I correct? Walk me through how one would acquire a UCL
19 for purposes of xDSL?

20 THE WITNESS: For the ADSL capable loop, the
21 HDSL capable loop, and the unbundled copper loops, short
22 and long, those four loop types need certain types of
23 prequalification. They are not like a voice grade loop
24 that is pretty much ubiquitous throughout our network. So
25 for all the other loop types we offer except the four that

1 I just mentioned, you can just issue an order for that
2 loop and we will provision it, because they are pretty
3 much ubiquitous. But because of the unique requirements
4 for those four loop types, the ADSL, HDSL, and both UCL
5 offerings, we have to go in -- either we have to go in
6 manually or through some process to determine that it is
7 there, or the CLEC has to do that through the preordering
8 thing. Somebody has to determine that a loop that meets
9 those specifications actually exists at that customer
10 address, i.e., that it is nonloaded copper, less than
11 18,000 feet, whatever the parameters are.

12 COMMISSIONER JACOBS: And that won't happen in
13 that loop makeup inquiry? Will that take --

14 THE WITNESS: Yes. That's why I said either
15 BellSouth has to do it or the ALEC would have to do it
16 through the loop makeup process that we discussed earlier.

17 COMMISSIONER JACOBS: Okay. Thank you.

18 THE WITNESS: And if I could just add that if
19 the ALEC does it themselves through the loop makeup process,
20 then the nonrecurring cost for that loop is reduced
21 because the ALEC has done that work themselves and BellSouth
22 is not going it.

23 BY MR. MARCUS:

24 Q Let's turn to Page 11 of your testimony where
25 you talk somewhat about the loop makeup information.

1 A Page 11. Okay.

2 Q Lines 8 through 13.

3 A Okay.

4 Q I believe in this statement you state that if an
5 ALEC utilizes BellSouth's loop makeup information, the
6 carrier is then free to order a loop, an SL-1, an SL-2,
7 any kind of loop, and then if the carrier so desires they
8 can attempt to put their own DSL services over it.
9 BellSouth simply won't guarantee the specific parameters
10 that it associates with its specific DSL products, is that
11 correct?

12 A Yes, that is correct. An ALEC could come in,
13 look at the loop makeup information, and if they see that
14 there is nonloaded copper at this customer address, they
15 could issue an order for an SL-1 and they can attempt to
16 put whatever service they choose across the SL-1. We
17 don't restrict the type of services that they can use the
18 UNE loops for.

19 But if there is a problem associated with that
20 and a trouble ticket is turned in, the only thing that we
21 can ensure, if you will, through the repair process is
22 that the loop meets the specifications for the loop type
23 that was ordered. And in this example they would go in
24 and say, "Here is a voice grade SL-1 loop; there is a
25 repair problem on it, and it meets the specifications for

1 a voice grade loop, so we don't see a problem."

2 Q But the ALEC would have looked at the loop
3 makeup information, learned the parameters of that loop,
4 and then made its own determination that based on those
5 parameters it could provide whatever flavor of DSL service
6 that it thought. And there is no reason that the ALEC
7 couldn't then go reserve that loop and obtain that
8 particular loop and use that to provide its particular DSL
9 service, is there?

10 A Again, there is no reason why they can't use an
11 SL-1 voice grade loop to attempt to provide DSL service.
12 If it works, that's great. If it doesn't, the only thing
13 that we can answer to is that whether it is or is not a
14 properly functioning voice grade loop.

15 Q So then the distinction is that if there were to
16 be some sort of problem with the line, BellSouth will only
17 maintain that loop consistent with the SL-1 parameters as
18 opposed to if it was an ADSL loop, the ADSL capable loop
19 parameters?

20 A Correct. We will only maintain and repair the
21 loop to the standards to which it was ordered. And if it
22 was ordered as an SL-1 loop, we will maintain it and
23 repair it as an SL-1 loop. If it was ordered as an ADSL
24 capable loop, we will maintain and repair it to those
25 standards.

1 Q And the difference between the standards and the
2 difference between the design and the nondesign, those are
3 the items that make up the distinction between the rates
4 that BellSouth is proposing between the SL-1 loop and the
5 DSL capable loops?

6 A Correct.

7 Q And so those items are what gets BellSouth from
8 an \$83.20 nonrecurring charge for an SL-1 loop -- and I'm
9 look at the revised exhibit attached to the end of Al
10 Varner's revised testimony -- the difference between
11 essentially an \$83 charge and a \$391 charge?

12 A Those parameters that we just talked about would
13 represent part of that price differential. But not
14 looking at exactly what you are looking at, or know what
15 inputs were put into there, but the second rate that you
16 gave sounds like a rate that would also include the manual
17 loop makeup or service inquiry process that BellSouth
18 would go through to qualify the loop for the ALEC.

19 Q The 391 does include the loop makeup. It is
20 Item A.6.1 with loop makeup information.

21 A So that would be --

22 Q But even if you didn't include that, on A.6.1
23 without LMU, you are still looking at \$258.86, which is
24 still significantly higher than the \$83 charge, and yet
25 this is for items that ALECs may not want.

1 A I'm sorry, was that a question?

2 Q I'm trying to understand why the difference
3 should be as great as it is, and why the ALEC should be
4 forced to pay that higher charge.

5 A First of all, I would take exception that the
6 ALECs are forced necessarily to pay that higher charge.
7 If they want that loop with those attributes then they
8 should pay the appropriate cost to provision that loop.
9 If they don't want those attributes, they can negotiate
10 for something different to the extent that it is
11 technically feasible for us to provide it.

12 The second -- or actually the first part of your
13 question was why are the cost differences that much, is
14 because through the cost inputs that were gathered from
15 the project team it was determined that a nondesigned
16 loop, as I mentioned earlier to the Commissioners, that
17 the design process is very expensive and time consuming.
18 And the fact that you are not doing it on an SL-1 loop
19 would represent the much lower charge. And part of the
20 reason why the other loop is higher is because we are
21 doing that time consuming design process.

22 MR. MARCUS: Thank you. I have nothing further.

23 CROSS EXAMINATION

24 BY MR. BRESSMAN:

25 Q Good afternoon, Mr. Latham. Michael Bressman

1 with BlueStar. Just a few questions.

2 Just so I am absolutely clear, if an ALEC does
3 an electronic loop makeup inquiry, there is no need for a
4 DLR, correct?

5 A It is correct that there is no need for a DLR.
6 But, again, the DLR is a by-product of the loop being
7 designed. And in some ways some CLECs may actually
8 have -- I'm sorry, ALECs. You use different names in
9 different states, but I will try to do better about ALEC
10 in Florida. Some ALECs may still want that because they
11 want to confirm that after the design process has been
12 completed that the loop still meets the parameters that
13 they expected to get when they reserved the loop through
14 the loop makeup process.

15 Q And if I order a stand-alone loop, is there any
16 reason why I would need to coordinate conversion?

17 A None that I am aware of. And that's why on our
18 more recent loops that we have developed, such as the
19 unbundled copper loop where it is expected that they are
20 not replacing an existing service that the customer
21 already has, but it is going to be used as an additional
22 line, we have tried to make that an optional element and
23 not include it in the cost of the loop itself.

24 Q And just for a moment to go back to ISDN loops.
25 Are ISDN loops designed?

1 A Yes, unbundled ISDN loops are designed. As I
2 mentioned earlier, all of our unbundled loop offerings are
3 designed except the SL-1 voice grade loop.

4 Q Are they designed in all BellSouth states?

5 A Yes. There is no state-specific distinction
6 between whether they are designed or not.

7 Q What about in the State of Georgia?

8 A Unbundled ISDN loops in the State of Georgia are
9 designed loops.

10 Q Do you have a copy of Mr. McCracken's
11 deposition?

12 A No, I do not.

13 Q Let me see if I can give you a copy here. It is
14 Exhibit 100.

15 A Thank you. Exhibit 100.

16 Q Would you please turn to Page 30, Line 20.

17 A Page 30, Line 20.

18 Q I asked Mr. McCracken whether -- and who is Mr.
19 McCracken?

20 A Mr. McCracken was at one time the I&M, or
21 installation and maintenance SME on the project team, but
22 is no longer that SME.

23 Q Do you see that I asked him a question is an
24 ISDN loop a designed loop, and his answer was it depends
25 on which state you are in in BellSouth --

1 CHAIRMAN DEASON: You need to slow down.

2 MR. BRESSMAN: I'm sorry.

3 BY MR. BRESSMAN:

4 Q Did you see that I asked him the question is an
5 ISDN loop a designed loop. And his answer was it depends
6 upon what state you are in in BellSouth?

7 A Yes, I see that is in his deposition.

8 Q And then if you go a little further he states
9 that they are not -- ISDN loops are not designed in
10 Georgia?

11 A Yes, I see that.

12 Q Do you know if that is true?

13 A I know that it is not true. As I stated
14 earlier, all unbundled ISDN loops in all of BellSouth's
15 states are designed loops.

16 Q Isn't he the SME for the team that does the
17 field installations?

18 A Well, he was at one time, yes.

19 Q Wouldn't he know how they are designing and
20 installing their loops?

21 A I wouldn't think so. I'm not an expert
22 necessarily in this area. But it is my understanding that
23 the design process is something that takes place other
24 than the field people who actually install them. It is
25 more of a central office or more of a headquarters type --

1 CPG, I think, circuit provisioning group and others. The
2 installation people, to the best of my knowledge, have no
3 clue about or have any involvement in the designing or
4 lack thereof of a circuit.

5 COMMISSIONER JABER: Mr. Latham, is a SME a
6 subject matter expert? What is a SME?

7 THE WITNESS: A SME, yes, that stands for
8 subject matter expert in their field, in other words. So
9 in this case Mr. McCracken would have been a subject
10 matter expert about the installation and maintenance of
11 loops, but may not know anything about the design process
12 of a loop because he may or may not be a SME in that area.

13 CROSS EXAMINATION

14 BY MS. BOONE:

15 Q I just have a few questions, Mr. Latham.

16 You are the person that designs and defines how
17 the loops are characterized, right?

18 A Well, that is true. I would use the word
19 develop, I guess, more than design because there seems to
20 be a lot of confusion around the word design.

21 Q It's turning out to be an ugly word, huh?

22 A I wouldn't say that.

23 Q Would you agree with me that an ADSL loop as
24 BellSouth defines it will always meet the specifications
25 for an SL-1 loop?

1 A It will meet a subset of the specifications for
2 an SL-1 loop, yes.

3 Q So, in fact, an ADSL loop is a subset of the
4 larger group of SL-1 loops?

5 A Yes, I think that's fair.

6 Q Okay. And if I were to pull up a loop inquiry
7 and I saw ten loops going from my house to the central
8 office, and those loops all had the identical same
9 components, they were 15,000 feet long, they had no
10 bridged tap, no load coils, and they were all copper,
11 could that loop are labeled either an SL-1 or an ADSL?

12 A Yes. I think it is fair to say that voice
13 service will always work on an ADSL capable loop, but ADSL
14 service will not always work on a voice grade loop.

15 Q I understand that. And you understand that
16 ALECs are here today to say that we want to decide what
17 works on which; would you say that is a fair summary of
18 our position?

19 A I wouldn't characterize your position. I
20 thought that these proceedings primarily were to determine
21 the cost for the elements that we provide, not necessarily
22 for you to state what you desired.

23 Q Fair enough. BellSouth inventories its loops,
24 doesn't it?

25 A Yes.

1 Q And inventories some as SL-1 loops?

2 A They are certainly inventoried as voice grade
3 loops. I can't say specifically that they are inventoried
4 as SL-1 versus SL-2 loops.

5 Q Okay. And DSL loops are separately inventoried
6 and marked as such?

7 A They have different codes that we use to
8 identify them, yes.

9 Q Okay. And in your testimony you say we are free
10 to use an SL-1 loop, is that correct?

11 A Yes, that is correct.

12 Q And we are free to place DSL on it, is that
13 correct?

14 A Yes, that is correct.

15 Q And the only problem you highlighted -- well,
16 one of the problems you highlighted in your testimony was
17 that we could be rolled from copper to fiber at any time,
18 correct?

19 A Correct.

20 Q Now, that could happen with a BellSouth voice
21 customer, isn't that correct?

22 A That is correct.

23 Q And that could happen to a BellSouth customer, a
24 voice customer who also had BellSouth DSL, correct?

25 A I don't know -- I think you're getting into the

1 line sharing area. And I'm not the product manager for
2 line sharing.

3 Q Okay. But I am actually asking about the
4 BellSouth offering, not what you are calling line sharing
5 for ALECs. You are not familiar with either, is that what
6 you are saying?

7 A Yes. I probably misstated. I'm not familiar
8 with line sharing or that familiar with how BellSouth's
9 tariffed ADSL service is inventoried or flagged in our
10 network.

11 Q Okay. Well, I would like you to use your
12 experience with me here for a second, because you have
13 been working at BellSouth for quite awhile. Do you think
14 BellSouth would offer a DSL product over a voice service
15 one day, and then roll that customer onto fiber thereby
16 destroying the DSL service the next? Does that sound like
17 something that BellSouth would do?

18 A No, I don't think it sounds like something
19 BellSouth would do. But I don't have experience as a
20 product manager on the retail side of the house.

21 Q So it seems like BellSouth has found some way to
22 mark those voice lines that have DSL on them so that won't
23 happen, wouldn't you agree?

24 A I couldn't speculate one way or the other.

25 MS. BOONE: Thank you.

1 MR. FONS: No questions.

2 CHAIRMAN DEASON: Staff.

3 MS. KEATING: Staff has no questions.

4 CHAIRMAN DEASON: Commissioners. Redirect.

5 REDIRECT EXAMINATION

6 BY MR. EDENFIELD:

7 Q Just one question. This is kind of following up
8 on what Commissioner Jaber was asking, and you may have
9 already answered it. Are the ALECs free to purchase an
10 SL-1 loop to try to put whatever service they want over
11 it?

12 A Absolutely. I mean, I thought that we had
13 discussed that a couple of different times. But, yes, and
14 I wouldn't just limit that to an SL-1 loop. Any of our
15 unbundled loop offerings the ALECs are free to attempt to
16 put whatever service they choose over there, over those
17 facilities. The only real restriction that we have is
18 that we ask that those services not be disruptive to our
19 network and existing other customers, other ALECs or
20 retail customers, or whomever, that they can put whatever
21 service they want to, but if that service is somehow
22 disruptive then we would ask them to no longer do that.

23 But as far as, you know, recognized
24 telecommunications services, they are free to put -- to
25 attempt to put any service over any loop that we offer.

1 But we don't guarantee or ensure that those services will
2 work. We will only ensure that the loops work for the
3 services that they were originally intended to provide.

4 Q So as part of the freedom to purchase whatever
5 loop they want and try to put whatever service they want
6 over it, have they agreed not to come complain to us in
7 the event that a copper loop is turned into a digital loop
8 carrier, or if the loop just doesn't have the technical
9 parameters to carry the service they want to provide over
10 it? Have they agreed not to come complain to us in those
11 situations?

12 A Well, not that I am aware of that they have
13 agreed not to complain to us. We have in our
14 interconnection agreements tried to spell out this
15 problem. We have made them aware through the
16 interconnection agreements that this risk exists, and have
17 tried to spell out on the front end this situation that we
18 have been trying to describe, that they are free to put
19 these services on the loops, but we will only maintain and
20 repair them for what the loop was originally ordered as.
21 Did that answer your question?

22 MR. EDENFIELD: Yes, sir. Thank you very much.
23 I have nothing further.

24 CHAIRMAN DEASON: Thank you, Mr. Latham. You
25 may be excused. I believe the next scheduled witness is

1 Mr. Reid whose testimony has been stipulated. Maybe we
2 can go ahead and address that.

3 MR. EDENFIELD: That is correct, Chairman
4 Deason. At this time via stipulation we would move into
5 the record as if read the direct testimony of Mr. Walter
6 Reid dated May 1st, 2000, and ask that the two exhibits
7 attached to that testimony be identified.

8 CHAIRMAN DEASON: Exhibit 119.

9 (Composite Exhibit Number 119 marked for
10 identification.)

11 MR. EDENFIELD: Would it be your preference for
12 us to do all of this as one big composite exhibit or would
13 you like to keep them separate?

14 CHAIRMAN DEASON: No, we will just do it as one
15 composite.

16 MR. EDENFIELD: Okay. At this time we would
17 also move into the record as if read the revised direct
18 testimony of Walter Reid dated August 18th, 2000, and ask
19 that the two exhibits attached to that testimony be
20 identified.

21 CHAIRMAN DEASON: This is the rebuttal at this
22 point?

23 MR. EDENFIELD: No, sir, this is the revised
24 direct.

25 CHAIRMAN DEASON: Revised direct.

1 MR. EDENFIELD: And the date of that is August
2 18th of this year.

3 CHAIRMAN DEASON: Okay. That is still going to
4 be part of Composite 119.

5 MR. EDENFIELD: And the final piece of testimony
6 from Walter Reid that we would ask be admitted into the
7 record as if read is what is labelled his Phase 2 rebuttal
8 testimony, which is dated August 21st, 2000. And there
9 are two exhibits attached to that testimony which we would
10 ask be made part of the composite exhibit.

11 CHAIRMAN DEASON: And it will be part of
12 Composite Exhibit 119. And all testimony for Witness
13 Reid, which you just identified, will be inserted into the
14 record without objection.

15
16
17
18
19
20
21
22
23
24
25

1 **BELLSOUTH TELECOMMUNICATIONS, INC.**
2 **DIRECT TESTIMONY OF WALTER S. REID**
3 **BEFORE THE**
4 **FLORIDA PUBLIC SERVICE COMMISSION**
5 **DOCKET NO. 990649-TP**
6 **MAY 1, 2000**
7

8 Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND POSITION
9 WITH BELLSOUTH TELECOMMUNICATIONS, INC.

10
11 A. My name is Walter S. Reid and my business address is 675 West
12 Peachtree Street N. E., Atlanta, Georgia. My position is Senior
13 Director for the Finance Department of BellSouth
14 Telecommunications, Inc. (hereinafter referred to as "BellSouth", or
15 "the Company").

16
17 Q. BRIEFLY OUTLINE YOUR EDUCATIONAL BACKGROUND AND
18 BUSINESS EXPERIENCE IN THE TELECOMMUNICATIONS
19 INDUSTRY.

20
21 A. I received bachelor and master of science degrees in industrial
22 engineering in 1969 and 1971, respectively, from the Georgia
23 Institute of Technology. I am a Certified Public Accountant (CPA)
24 licensed in the state of Georgia, and am a member of the American
25 Institute of CPAs. I was employed by BellSouth in November,

1 1971, as a management trainee in the Comptrollers Department in
2 Jacksonville, Florida. Since that time, I have held various positions
3 of increasing responsibility in the areas of budget and forecast
4 preparation, cost accounting, separations, and regulatory matters. I
5 was transferred to my current position at Company Headquarters in
6 October, 1987. Overall, I have over 28 years experience dealing
7 with the financial issues of the Company.

8

9 Q. WHAT ARE YOUR CURRENT RESPONSIBILITIES?

10

11 A. I am responsible for the preparation and analysis of the Company's
12 financial results, the provision of accounting and cost information
13 requested in proceedings before state and federal regulatory
14 commissions and the coordination of other regulatory activities
15 related to accounting and finance.

16

17 Q. HAVE YOU TESTIFIED PREVIOUSLY REGARDING FINANCIAL
18 ISSUES IN STATE REGULATORY PROCEEDINGS?

19

20 A. Yes. I have testified in Florida proceedings for many years.
21 Included among the dockets in which I have testified, are Dockets
22 Nos. 960757-TP, 960833-TP, and 960846-TP which dealt with the
23 appropriate unbundled network element (UNE) rates for BellSouth in
24 Florida. My testimony in these dockets related to the proper
25 amount of shared and common cost to include in UNE rates. I have

1 also testified in numerous regulatory proceedings in Alabama,
2 Georgia, Kentucky, Mississippi, North Carolina, South Carolina and
3 Tennessee.

4

5 Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS
6 PROCEEDING?

7

8 A. The purpose of my testimony in this proceeding is to address the
9 appropriate methodology for including a reasonable amount of
10 forward-looking shared and common costs in BellSouth's Total
11 Element Long Run Incremental Cost ("TELRIC") studies. The
12 inclusion of a reasonable amount of shared and common cost in the
13 economic cost of UNEs is consistent with past orders of the FCC
14 and the Florida Commission. The FCC's First Report and Order in
15 CC Docket Nos. 96-98 and 95-185, released on August 8, 1996,
16 outlined the FCC's TELRIC methodology and acknowledged that
17 prices for UNEs should include a reasonable allocation of forward-
18 looking joint and common cost (See paragraph 672 of the FCC's
19 Order). In Order No. PSC-96-1579-FOF-TP ("Order") issued
20 December 31, 1996, the Florida Public Service Commission stated,
21 "Upon consideration of the evidence in the record and based on the
22 Act, we find it appropriate to set permanent rates based on
23 BellSouth's TSLRIC cost studies. The rates are for the unbundled
24 network elements we consider to be technically feasible. The rates
25 cover BellSouth's TSLRIC cost and provide some contribution

1 toward joint and common costs." (Order at page 33). These
2 guidelines were also referred to in Order No. PSC-98-0604-FOF-TP
3 issued April 29, 1998.

4
5 BellSouth's approach for treating shared and common costs
6 consists of a study which develops appropriate shared and common
7 cost factors for use in UNE rate calculations. BellSouth's
8 methodology which is being filed in this Docket has been modified
9 from the methodology which was filed in Dockets Nos. 960757-TP,
10 960833-TP, and 960846-TP, to incorporate certain conclusions
11 reached by the Commission in Order No. PSC-98-0604-FOF-TP.

12
13 Q. PLEASE EXPLAIN THE MODIFICATIONS YOU HAVE MADE TO
14 BELL SOUTH'S METHODOLOGY SINCE IT WAS FILED IN DOCKETS
15 NOS. 960757-TP, 960833-TP AND 960846-TP.

16
17 A. The major modification which has been applied to BellSouth's
18 methodology for treating shared and common costs is the
19 recognition of the Commission's conclusion that shared costs
20 should be reflected by means of the shared cost factors and should
21 not be associated with labor rates. As noted in Order No. PSC-98-
22 0604-FOF-TP, page 63, this change in methodology merely shifts
23 the recovery of some of these costs from non-recurring rates to
24 recurring rates. This change in methodology eliminates a category
25 of factors included in BellSouth's previous study that was called the

1 "shared labor factors". The costs which previously would have
2 been assigned to non-recurring rates through these shared labor
3 factors are now included in the shared cost factors applied to
4 recurring UNEs.

5

6 In addition, other changes were made to refine the wholesale/retail
7 split of costs, to recognize certain right to use fees in the shared
8 and common cost process and, to recognize any changes in the
9 CAM or supporting information detail.

10

11 BellSouth did not change its methodology for treating costs
12 associated with its Local Carrier Service Center ("LCSC"). The
13 Company included the actual costs of its LCSC in serving CLECs in
14 the base year data included in the study and converted these into
15 forward-looking costs through its study methodology. These costs
16 are definitely wholesale in nature and should be included in a
17 TELRIC based study.

18

19 Q. HAS THE COMPANY PROVIDED ITS STUDY THAT DEVELOPS THE
20 SHARED AND COMMON COST FACTORS TO THE FLORIDA
21 PUBLIC SERVICE COMMISSION?

22

23 A. Yes. The Company provided the study that calculates the shared
24 and common cost factors as part of the data filed with its cost
25 studies on April 17, 2000. In addition, the Company filed its

1 supporting documentation on the shared and common cost study as
2 part of its cost support documentation.

3

4 Q. FROM A HIGH LEVEL PERSPECTIVE, CAN YOU BRIEFLY DESCRIBE
5 BELLSOUTH'S APPROACH FOR TREATING SHARED AND
6 COMMON COSTS AS A COMPONENT OF UNE RATES?

7

8 A. Yes. The ultimate objective of BellSouth's methodology, which I
9 have depicted on Exhibit WSR-1, pages 1 through 2, is to split the
10 Company's total forward-looking cost of business between its
11 wholesale and retail functions and to specifically identify three major
12 categories of wholesale costs: 1) wholesale direct costs; 2) the
13 portion of shared costs attributed to wholesale; and 3) a reasonable
14 portion of common costs applicable to wholesale operations. It is
15 further necessary to split category (1) above between those
16 wholesale costs that are related to recurring investment related
17 transactions (UNE related) and those that are related to "other
18 wholesale" transactions, such as non-recurring (e.g., service order
19 activities) or special purpose transactions (e.g., operator services).

20

21 Because the Uniform System of Accounts ("USOA") does not
22 uniquely identify these desired cost categories, a study was required
23 to determine the appropriate amounts to include in each category.
24 Fortunately, the BellSouth Cost Allocation Manual ("CAM") and the
25 reporting procedures which the Company follows to separate its

1 costs on a cost causative basis between regulated and non-
2 regulated costs provided a good model on which to base this study.
3 Therefore, the Company utilized the basic attribution principles of its
4 CAM, (with certain modifications to implement the Commission's
5 prior order), and the underlying cost pools and sub-pools which it
6 maintains for cost attribution purposes as the underlying
7 methodology for determining the desired breakdown of wholesale
8 costs into categories. The wholesale costs identified through this
9 process are the appropriate costs to apply to a cost methodology
10 that defines the cost for UNEs.

11

12 Once all of these costs are properly categorized, cost factors for use
13 in the BellSouth cost study can be developed. For instance, the
14 relationship between wholesale common costs and the total of
15 wholesale direct and wholesale shared costs yields the common
16 cost factor. In this study, the common cost factor equals 6.24%
17 versus 5.30% in the previous study. Page 1 of WSR-1 outlines the
18 steps in the methodology used to calculate this factor. A summary
19 of the mathematical calculation is shown on WSR-4.

20

21 A second set of factors is derived by determining the relationship,
22 by investment type, between wholesale shared costs related to
23 investment accounts and the associated network investment.

24 These are the shared cost factors. Page 2 of WSR-1 outlines the

25

1 methodology and WSR-3 summarizes the calculation of the
2 individual shared cost factors for each investment category.

3

4 These two types of factors are used as inputs to the BellSouth cost
5 study development methodology described in BellSouth Witness
6 Daonne Caldwell's testimony. Application of these factors in the
7 cost development process allows BellSouth to associate a
8 reasonable amount of forward-looking shared and common costs
9 with each UNE.

10

11 Q. PLEASE DESCRIBE IN MORE DETAIL THE MECHANICS OF
12 BELL SOUTH'S PROCEDURE TO DETERMINE A REASONABLE
13 PORTION OF ITS FORWARD-LOOKING SHARED AND COMMON
14 COSTS FOR INCLUSION IN ITS COST STUDIES.

15

16 A. The starting point in the procedure is BellSouth's 1998 regional
17 regulated expenses and regulated average investment. This data is
18 obtained at a very detailed (cost pool and cost sub-pool) level from
19 BellSouth's financial system which applies the methods and
20 procedures described in the CAM. The primary goal of the CAM is
21 a reasonable, supportable apportionment of total costs between
22 regulated services and nonregulated activities. As a general rule,
23 this methodology for shared and common costs which I am
24 addressing in this proceeding follows the same attribution
25 procedures for the various accounts and cost pools as are identified

1 in the CAM for comparable accounts and cost pools. However, the
2 treatment of shared costs has been modified in order to incorporate
3 the Commission's decision that shared costs should not be
4 associated with labor rates.

5

6 Q. WHAT IS THE NEXT STEP IN BELLSOUTH'S METHODOLOGY?

7

8 A. The next step in the methodology is to develop a projection of
9 expenses and investments for the years 1999-2002. This is
10 accomplished by normalizing the actual cost data for unusual events
11 and converting the normalized costs into forward-looking costs by
12 applying forecasted expense growth factors. In the case of
13 investment amounts, factors are applied to projected investment
14 which reflect the relationship of current cost to original book cost.
15 The application of these factors converts the historical cost data
16 into cost levels that are representative of the forward-looking
17 average costs for the future projected period.

18

19 In order to reflect the proper capital carrying costs for investment
20 accounts, annual cost factors are applied to the forward-looking
21 investment amounts. These annual cost factors include the cost of
22 money at 11.25%, income taxes, depreciation expense, and ad
23 valorem taxes.

24

25 Q. HOW IS THE FORWARD-LOOKING FINANCIAL DATA ANALYZED?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A. BellSouth's study recognizes that total costs can be placed into four clearly identifiable categories. First, there are the "direct wholesale costs." These are the costs which are clearly and directly assignable to the "wholesale" function. Costs of switches, for example, would fit into this category. The wholesale direct costs are further divided between those that are related to recurring investment costs and those that are related to other wholesale transactions such as non-recurring or special transactions. The direct costs of providing telecommunications services, such as the carrying cost on investment and plant specific expenses related to the investment, are segregated by each specific investment account.

Second, there are the "direct retail costs." These are the costs which are clearly and directly assignable to the "retail" function. Retail costs include marketing, billing, collection and other costs that will be avoided by the Company when it provides services at wholesale. All retail costs are excluded from the calculation of UNE costs.

Third, there are "shared costs." Shared costs are costs that are incurred in the production of two or more products or services by the same production process that do not span all activities of the business. Typical shared costs include costs for items of general

1 support equipment, procurement, engineering expenses, etc.
2 Exhibit WSR-2 to my testimony provides a more detailed list of
3 typical shared costs.

4
5 Fourth, there are "common costs." Common costs are those costs
6 that generally span the activities of the business, and the products
7 and services it produces. These costs are not directly assignable to
8 one product or service, but are necessary for the operation of the
9 business as a whole. Typical common costs are items such as
10 accounting and finance costs, executive costs, etc. A more detailed
11 list of common costs is also shown on my Exhibit WSR-2.

12
13 *Clearly, all of those costs which are applicable to the wholesale*
14 *function (direct costs, shared costs, and common costs) must be*
15 *recovered by UNE rates, while all of those costs applicable to the*
16 *retail function should be excluded. The difficulties are: (1)*
17 *separating the "shared costs" and the "common costs" between the*
18 *"wholesale" and "retail" functions; and (2) attributing the wholesale*
19 *shared costs to each network investment category.*

20
21 Q. HOW HAS BELL SOUTH ACCOMPLISHED THIS SEPARATION OF
22 "SHARED COSTS" AND "COMMON COSTS"?

23
24 A. The process BellSouth has followed to reach this goal has two
25 fundamental steps. First, the "shared costs" are segregated into

1 cost pools similar to those utilized in the CAM. The costs
2 accumulated in these cost pools are attributed to "wholesale" and
3 "retail" functions as I will describe below.

4

5 In the second step, the "common costs" are apportioned between
6 "wholesale" and "retail" functions based on the relative proportion
7 of the direct and shared costs that have been assigned to these
8 functions.

9

10 Q. CAN YOU PROVIDE A MORE DETAILED EXPLANATION OF THE
11 FIRST FUNDAMENTAL STEP YOU MENTIONED ABOVE?

12

13 A. Yes. The costs which are treated as shared costs can be
14 segregated into cost pools because the historical data which was
15 obtained at the beginning of the process was collected at the cost
16 pool or cost sub-pool level. This detail was maintained as the
17 historical data was projected to forward-looking data. Therefore,
18 the forward-looking shared costs can be identified by cost pool.

19

20 Next, attribution factors, such as central office equipment ("COE")
21 investment percentages are developed. These factors are similar to
22 the attribution bases described in the CAM. BellSouth has made
23 modifications in its attribution process in order to implement the
24 Commission's conclusion that shared costs should not be
25 associated with labor rates. When the factors are applied to the

1 respective shared costs accumulated in the various cost pools, the
2 result, which takes more than one iteration, is the assignment of the
3 shared costs to either: 1) a related "wholesale" network investment
4 category (pair gain equipment, buried cable, etc.); 2) the "other
5 wholesale" category; or 3) the "retail" category. Shared costs
6 which are not assignable to one of these categories after two
7 iterations of the attribution process are treated as common costs.
8 Wholesale shared costs assigned to an investment category are
9 used to calculate the shared cost factor for that investment item. A
10 shared cost factor is the ratio of the shared cost assigned to a
11 particular type of investment divided by the projected average
12 investment.

13

14 Q. HOW ARE FORWARD-LOOKING COMMON COSTS TREATED IN
15 BELLSOUTH'S METHODOLOGY?

16

17 A. Forward-looking common costs are proportionally split between
18 wholesale common costs and retail common costs. The wholesale
19 *common cost factor* is then calculated as the ratio of total
20 wholesale common costs divided by the total of wholesale direct
21 costs and wholesale shared costs. This wholesale common cost
22 factor is an input in the development of the UNE costs as described
23 in Ms. Caldwell's testimony.

24

25 Q. PLEASE SUMMARIZE YOUR TESTIMONY.

1

2 A. My testimony provides a reasonable and supportable method for
3 determining forward-looking shared and common costs attributable
4 to the provision of unbundled network elements. The outputs of
5 this methodology are a set of wholesale shared cost factors by
6 investment category, as reported on my Exhibit WSR-3, and a
7 wholesale common cost factor of 6.24%, as shown on Exhibit
8 WSR-4. These factors represent the appropriate level of forward-
9 looking shared and common costs for inclusion in BellSouth's cost
10 studies.

11

12 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

13

14 A. Yes.

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BELLSOUTH TELECOMMUNICATIONS, INC.
REVISED DIRECT TESTIMONY OF WALTER S. REID
BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION
DOCKET NO. 990649-TP
(PHASE II)
AUGUST 18, 2000

Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND POSITION
WITH BELLSOUTH TELECOMMUNICATIONS, INC.

A. My name is Walter S. Reid and my business address is
675 West Peachtree Street N. E., Atlanta, Georgia.
My position is Senior Director for the Finance
Department of BellSouth Telecommunications, Inc.
(hereinafter referred to as "BellSouth", or "the
Company").

Q. ARE YOU THE SAME WALTER S. REID WHO FILED DIRECT
TESTIMONY IN THIS PROCEEDING?

A. Yes. I filed direct testimony in this proceeding on
behalf of BellSouth on May 1, 2000.

Q. WHAT IS THE PURPOSE OF YOUR REVISED DIRECT TESTIMONY?

1

2 A. The purpose of my revised direct testimony is to
3 introduce revised shared and common cost factors
4 included as part of the data that the Company filed
5 with its updated cost studies on August 16, 2000.

6

7 Q. WHAT WAS THE REASON FOR THE REVISION?

8

9 A. As explained in my direct testimony filed in this
10 proceeding on May 1, 2000, costs related to "other
11 wholesale" transactions, such as non-recurring (e.g.,
12 service order activities) are identified and excluded
13 from the shared and common cost factors. Subsequent
14 to the filing of the original cost studies on April
15 17, 2000, it was discovered that several of the
16 service order ratios used in the determination of
17 these non-recurring costs were incorrect and did not
18 recognize the capitalization of right to use fees.

19

20 Q. WHAT IMPACT DID THE CORRECTIONS HAVE ON THE SHARED
21 COST FACTORS?

22

23 A. Please see Revised Exhibit WSR-3 for the revised
24 shared costs factors. The impacts of the revisions
25 are minor with the shared cost factors for Accounts

1 2211 and 2212 decreasing while the majority of the
2 other factors increased slightly. The total impact
3 of the change is to decrease total shared costs by
4 \$376,000 or .03%.

5

6 Q. IS THE COMMON COST FACTOR IMPACTED BY THESE
7 REVISIONS?

8

9 A. No. The common cost factor did not change from the
10 6.24% filed in my direct testimony. While the
11 underlying numbers changed slightly, the cost factor
12 remained unchanged. Please see Revised Exhibit WSR-4
13 for the mathematical calculation of the common cost
14 factor.

15

16 Q. DOES THIS COMPLETE YOUR REVISED DIRECT TESTIMONY?

17

18 A. Yes, it does.

19

20

21

22

23

24

25

1 BELLSOUTH TELECOMMUNICATIONS, INC.
2 REBUTTAL TESTIMONY OF WALTER S. REID
3 BEFORE THE
4 FLORIDA PUBLIC SERVICE COMMISSION
5 DOCKET NO. 990649-TP
6 (PHASE II)
7 AUGUST 21, 2000
8
9 Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND POSITION
10 WITH BELLSOUTH TELECOMMUNICATIONS, INC.
11
12 A. My name is Walter S. Reid and my business address is
13 675 West Peachtree Street N. E., Atlanta, Georgia.
14 My position is Senior Director for the Finance
15 Department of BellSouth Telecommunications, Inc.
16 (hereinafter referred to as "BellSouth", or "the
17 Company").
18
19 Q. ARE YOU THE SAME WALTER S. REID WHO FILED DIRECT AND
20 REVISED DIRECT TESTIMONY IN THIS PROCEEDING?
21
22 A. Yes. I filed direct testimony in this proceeding on
23 behalf of BellSouth on May 1, 2000 and revised direct
24 testimony on August 18, 2000.
25

1 Q. WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?

2

3 A. The purpose of my rebuttal testimony is to respond to
4 the comments of other parties in this proceeding
5 regarding the appropriate amount of shared and common
6 costs to include in the total cost of unbundled
7 network elements ("UNEs") for BellSouth.

8

9 Q. PLEASE IDENTIFY THE WITNESSES IN THIS PROCEEDING TO
10 WHOM YOUR REBUTTAL TESTIMONY WILL RESPOND.

11

12 A. My rebuttal testimony will respond to positions
13 regarding the appropriate level of shared and common
14 cost that are presented in the testimonies of AT&T
15 and MCI WORLDCOM Witness Mr. Greg Darnell and Florida
16 Cable Telecommunications Association Witness Mr.
17 William J. Barta.

18

19 Q. WHAT WILL YOUR REBUTTAL TESTIMONY SHOW RELATIVE TO
20 THESE WITNESSES' POSITIONS?

21

22 A. My rebuttal testimony will show that, except for one
23 unique issue that has a small impact, the concerns
24 that have been expressed by Mr. Darnell and Mr. Barta
25 relative to BellSouth's shared and common costs are

1 based on misunderstandings or superficial and
2 improper analyses of BellSouth's data. BellSouth has
3 included only a reasonable amount of shared and
4 common cost in its UNE cost studies and a proper
5 analysis of the data demonstrates this fact.
6 However, my rebuttal testimony will identify one
7 situation related to shared cost for central office
8 equipment ("COE") that when corrected would change
9 the shared cost factors for COE.

10

11 REBUTTAL TO MR. DARNELL'S POSITIONS

12 Q. WHAT OPINIONS HAS MR. DARNELL EXPRESSED RELATIVE TO
13 BELL SOUTH'S SHARED AND COMMON COST?

14

15 A. On page 3, lines 5 through 11 of his testimony, Mr.
16 Darnell states five opinions, four of which relate to
17 shared and common cost. He apparently believes that
18 BellSouth has not eliminated all retail expense from
19 its UNE rates; that it uses too low a productivity
20 factor in its forecast of expenses; that it may be
21 double recovering Land, Building and Power expense;
22 and that its common cost factor is too high.

23

24 Q. ARE HIS ASSESSMENTS OF BELL SOUTH'S COST STUDY
25 REASONABLE?

1

2 A. No. A review of Mr. Darnell's testimony reveals that
3 in most instances he has misunderstood and misapplied
4 amounts and relationships in BellSouth's cost study.

5

6 Q. HOW HAS MR. DARNELL MISUNDERSTOOD THE AMOUNT OF
7 RETAIL EXPENSE BELLSOUTH HAS ELIMINATED FROM ITS COST
8 OF UNES IN THIS DOCKET?

9

10 A. Mr. Darnell claims that in a previous study I
11 determined that \$1,926,591,887 of retail cost should
12 be eliminated from UNE rates (Darnell testimony, page
13 4, lines 5-6). He further claims that in this
14 proceeding BellSouth calculates that \$1,426,416,105
15 of retail expense exists and BellSouth eliminates
16 this lower amount from its current filing (Darnell
17 testimony, page 3, lines 20-22). Mr. Darnell
18 apparently believes that the difference in these
19 amounts of avoided retail expense is in his words
20 "contrived through differences in cost modeling
21 assumptions" (Darnell testimony, page 4, lines 15-
22 17). He further opines that the retail expense to be
23 eliminated from BellSouth's UNE rates in this
24 proceeding should be \$1,649,793,034 (Darnell
25 testimony, page 6, lines 10-12).

1
2 Mr. Darnell has obviously misunderstood BellSouth's
3 study and has made a huge miscalculation. He is
4 correct in his statement that I determined that the
5 amount of retail cost to be excluded in a previous
6 study was \$1,926,591,887 and that this amount
7 included indirectly avoided retail cost. However,
8 Mr. Darnell has incorrectly identified the amount of
9 retail cost that is eliminated from UNE cost in the
10 current study. My Revised Exhibit WSR-4 filed August
11 18, 2000, in this proceeding clearly shows in the
12 retail column that BellSouth has eliminated
13 \$2,188,554,658 in direct and indirect retail cost
14 from the current study. This is \$261,962,771 more
15 than the previous study, not \$500 million less as
16 calculated by Mr. Darnell. His recommendation that
17 \$1,649,793,034 be used in the study as the retail
18 cost to be eliminated would actually increase the
19 cost of BellSouth UNEs in the current proceeding by
20 over \$500 million.

21

22 Q. DO YOU AGREE WITH MR. DARNELL'S VIEW THAT BELL SOUTH
23 HAS USED TOO LOW A PRODUCTIVITY FACTOR IN ITS
24 PROJECTION OF EXPENSES?

25

1 A. No. Mr. Darnell has not performed any studies or
2 provided any reasonable evidence that would indicate
3 that the 3.1% productivity factor used by BellSouth
4 for projecting certain expenses in its study is
5 understated. He has merely referenced a factor
6 previously used by the FCC for adjusting prices in
7 its interstate price cap formula and opined that the
8 Florida Commission should require BellSouth to use a
9 productivity factor in its expense forecasts that is
10 no less than the FCC's 6.5% productivity factor.

11

12 He fails to mention the fact that in BellSouth's
13 previous UNE cost study filed in Docket No. 960833-
14 TP, BellSouth used a 2.9% productivity offset for
15 projecting expenses and the Commission found that:
16 "It appears to us that BellSouth has incorporated
17 reasonable productivity offsets in developing its
18 inflation/growth factors" (Commission Order No. PSC-
19 98-0604-FOF-TP, at page 55). BellSouth's use of a
20 3.1% productivity offset in the current study is
21 actually more ambitious on the Company's part than
22 the previous study and results in somewhat lower
23 projected expenses.

24

25

1 Mr. Darnell also fails to recognize that expense
2 changes are only one part of overall productivity.
3 The Commission recognized this fact and stated on the
4 same page as the order page referenced above that:
5 "Furthermore, because BellSouth's shared and common
6 factors are based on the relationship between
7 projected expenses to projected investments, and
8 applied against forward looking investments, we find
9 that BellSouth's factors have some inherent
10 productivity gains".

11
12 Finally, Mr. Darnell has failed to mention that the
13 FCC's decision that authorized the use of the 6.5%
14 factor for interstate price cap purposes was reversed
15 and remanded to the FCC by the United States Court of
16 Appeals for the District of Columbia Circuit. The
17 Court found problems with the FCC's support of its
18 methodology for computing this factor and also
19 questioned the fact that it included a customer
20 dividend. The Court stayed issuance of its mandate
21 until April 1, 2000, to allow the FCC time to conduct
22 a proceeding regarding this factor. The FCC's
23 decision in its CALLS proceeding subsequently
24 established a new interstate price plan for the
25 future and made a review of this factor moot.

1

2 Q. WHAT IS YOUR RESPONSE TO MR. DARNELL'S OPINION THAT
3 BELL SOUTH'S STUDY MAY HAVE A PROBLEM RELATED TO
4 DOUBLE RECOVERY OF LAND, BUILDING AND POWER EXPENSE?

5

6 A. Again, I believe Mr. Darnell's opinion is based on a
7 misunderstanding of BellSouth's study. My testimony
8 will clarify how land, building and power expenses
9 are treated in the shared and common cost application
10 and will demonstrate that, except in one unique
11 instance that I will explain later in my testimony,
12 there is no double recovery.

13

14 Q. HOW IS POWER EXPENSE TREATED FOR THE SHARED AND
15 COMMON COST APPLICATION?

16

17 A. Expenses associated with network power and the cost
18 of electrical power used to operate the
19 telecommunications network are recorded in Account
20 6531, Power Expense, of the Uniform System of
21 Accounts. The total amount in this account is
22 assigned by the shared and common cost application to
23 an expense bucket called "power" and is excluded from
24 all of the shared and common cost used to determine
25 the shared and common cost factors. The only impact

1 these amounts would have on shared and common cost
2 factors would come from the fact that the expense
3 would be included in the denominator of the common
4 cost factor, thus lowering this factor.

5
6 The cost of power produced for house services
7 purposes is charged to Account 6121, Land and
8 Building Expense. This account is subdivided in the
9 shared and common cost study into cost pools for
10 allocation of the expense. Specifically relevant to
11 Mr. Darnell's stated concerns, it is important to
12 note that there is a cost pool for this account that
13 includes expenses related to space leased to others
14 and another cost pool related to BellSouth owned
15 central office buildings. The expense assigned to
16 these two cost pools is excluded from recovery in the
17 shared and common cost factors.

18
19 Because neither network power nor power related to
20 house services for BellSouth owned central offices or
21 for space leased to others is recovered through
22 shared and common cost factors, it is clear that Mr.
23 Darnell's concerns are unfounded in these instances.
24 Mr. Darnell's opinion that revenues from leases of
25 building space should be offset against building cost

1 is inappropriate because costs related to leased
2 space are not included in shared and common cost in
3 the first place.

4

5 Q. PLEASE EXPLAIN HOW LAND AND BUILDING COSTS ARE
6 TREATED IN THE BELLSOUTH SHARED AND COMMON COST
7 APPLICATION.

8

9 A. The capital carrying cost associated with land
10 investment is initially calculated and recorded in
11 the shared and common cost application under Account
12 2111, Land. This amount is reclassified in the
13 application to Account 2121, Buildings, and is
14 allocated to the various cost pools under the
15 building account. The application accumulates the
16 cost of Company owned land and building investments
17 and the associated land and building expense (Account
18 6121) into the cost pools specified for Account 2121.

19

20 Similar to the treatment discussed previously for
21 power expense, the accumulated capital cost and
22 expenses associated with Company owned land and
23 buildings are assigned to cost pools under Account
24 2121 which, among other cost pools, includes "leased
25 to others Land and Buildings" and "central office"

1 cost pools. The amounts accumulated for these two
2 cost pools are excluded from shared and common cost
3 in BellSouth's application.

4
5 Because land and building costs associated with
6 Company owned central offices and properties leased
7 to others are excluded from the shared and common
8 cost factors, there should be no concern about double
9 recovery. Mr. Darnell's contention that BellSouth
10 should be identifying projected revenues for leased
11 properties to use as an adjustment to offset against
12 common cost is unfounded, because the cost associated
13 with leased space have already been excluded from
14 shared and common cost.

15

16 Q. YOU HAVE EXPLAINED THAT MR. DARNELL'S CONCERNS HAVE
17 NO MERIT FOR COMPANY OWNED LAND AND BUILDINGS. IS
18 THERE A PROBLEM WITH LAND AND BUILDING COST
19 ASSOCIATED WITH LOCATIONS WHERE THE COMPANY DOES NOT
20 OWN THE LAND OR BUILDING, BUT RENTS EITHER FROM A
21 THIRD PARTY?

22

23 A. Yes. In researching this area of the cost study,
24 BellSouth has discovered that one cost pool under
25 Account 6121 that relates to central office land and

1 buildings rented from others has been inappropriately
2 included in central office shared cost. The
3 appropriate treatment for this cost pool is to
4 exclude the cost from shared cost recovery in the
5 same manner that similar costs are excluded for
6 Company owned central office land and buildings.

7

8 Q. HAVE YOU DETERMINED WHAT CHANGES IN SHARED AND COMMON
9 COST FACTORS WOULD RESULT FROM THE EXCLUSION OF THESE
10 COST ASSOCIATED WITH RENTED FACILITIES?

11

12 A. Yes. The only factors that would be impacted are the
13 shared cost factors for central office investment.
14 My Rebuttal Exhibit WSR-1 provides a recalculation of
15 these factors for the exclusion of these costs.
16 There would be no change in the common cost factor or
17 any other shared cost factors.

18

19 Q. IS MR. DARNELL WRONG IN HIS CONCERN ABOUT DOUBLE
20 RECOVERY OF COSTS FOR BELLSOUTH'S CORPORATE
21 COMMUNICATIONS NETWORK?

22

23 A. Yes. None of the direct network related costs of the
24 BellSouth Corporate Communications Network are
25 included in shared and common cost. To the extent

1 there are any indirect costs associated with
2 corporate communications included in shared and
3 common cost, there is also an allocation of these
4 costs to functions such as operator services.

5

6 Direct expenses associated with operator services are
7 charged to Account 6621, Call Completion Services,
8 and Account 6622, Number Services. The amount in
9 these accounts is excluded from shared and common
10 cost along with an allocation of indirect cost from
11 other expense or investment accounts. Mr. Darnell's
12 concerns have no substance.

13

14 Q. WHAT IS YOUR RESPONSE TO MR. DARNELL'S POSITION THAT
15 BELLSOUTH HAS NOT DEMONSTRATED A NEED OR PROVIDED A
16 REASON TO INCREASE THE COMMON COST FACTOR FROM 5.30%
17 AS DETERMINED IN A PREVIOUS STUDY TO 6.24% AS
18 DETERMINED IN THE CURRENT STUDY?

19

20 A. BellSouth explained the major reasons why its common
21 cost factor has increased from 5.30% to 6.24% in
22 response to Staff's 5th Set of Interrogatories, Item
23 No. 61. Whereas, the explanation is rather technical
24 in nature, the most significant impacts causing the
25 increase can be boiled down to changes in cost

1 assignment procedures for computer and software
2 related expenses that result in more of these costs
3 being included in common cost and less in shared
4 cost. Another change that caused an increase in the
5 common factor was the allocation of a portion of
6 billing and collection costs to wholesale. The
7 previous study had assigned 100% of billing and
8 collection cost to retail. The current study assigns
9 some of these costs to wholesale for activities such
10 as carrier access billing and CLEC billing.

11

12 The change in assignment for computer and software
13 costs results in a higher common cost factor but it
14 has an offsetting effect due to lower shared cost
15 factors. A review of the shared cost factors shows
16 that the majority of these factors are lower in the
17 current study than in the previous study.

18

19 Q. HAVE YOU MADE ANY COMPARISONS WHICH WOULD DEMONSTRATE
20 THE OFFSETTING IMPACTS BETWEEN THE SHARED AND COMMON
21 COSTS AND SHOW THE REASONABLENESS OF YOUR CURRENT
22 STUDY?

23

24 A. Yes. My Rebuttal Exhibit WSR-2 shows a comparison of
25 the overall costs by major category between the

1 current BellSouth cost study and the previous study.
2 I obtained the breakdown of cost by category in the
3 previous study from Reid Deposition Late Filed
4 Exhibit No. 7, filed January 20, 1998, in FPSC Docket
5 No. 960833-TP. The current study breakdown comes
6 from the revised study that BellSouth filed in this
7 proceeding on August 16, 2000. The comparison shows
8 that wholesale common cost did increase between the
9 two studies by \$177 million but, it also shows that
10 wholesale shared costs decreased by \$181 million.
11 Wholesale shared and common cost in total actually
12 decreased by \$4 million between the two studies.
13 This certainly demonstrates the reasonableness of the
14 shared and common cost amounts in the study and shows
15 the offsetting nature of some of the cost allocation
16 changes.

17
18

19 **REBUTTAL TO MR. BARTA'S POSITIONS**

20 Q. WHAT POSITIONS DOES MR. BARTA TAKE REGARDING
21 BELLSOUTH'S SHARED AND COMMON COST?

22

23 A. The most significant adjustment that Mr. Barta
24 proposes to BellSouth's shared and common cost
25 appears on pages 32 and 33 of his rebuttal testimony.

1 He proposes that the Commission substitute the
2 Commission ordered wholesale percentage discount for
3 BellSouth's calculated amount of retail cost. His
4 calculations for this adjustment are shown on his
5 Exhibit __WJB-2.

6
7 In addition, on page 31 of his rebuttal testimony,
8 Mr. Barta opines that he would expect to see lower
9 levels of operating expenses projected on a forward-
10 looking basis assuming the network configurations of
11 the cost proxy models embrace the most efficient,
12 least cost technology and the engineering and
13 operating practices of the carrier reflect
14 productivity enhancements. He does not propose a
15 specific adjustment regarding this issue, but he does
16 provide an exhibit, Exhibit__WJB-1, that shows
17 BellSouth's total operating expenses less
18 depreciation per access line over the period 1991-
19 1999.

20
21 Q. IS MR. BARTA'S PROPOSED ADJUSTMENT TO BELLSOUTH'S
22 RETAIL COST REASONABLE?

23

24 A. Absolutely not. His adjustment is based on an
25 extremely superficial approach that yields an absurd

1 result. BellSouth conducted a detailed study of 1998
2 expenses in order to determine the appropriate
3 portion of various accounts to exclude as retail
4 related expense in its cost study. In the Company's
5 shared and common cost application, BellSouth used
6 relationships from its study of 1998 expenses to
7 assign a portion of its projected expenses to direct
8 retail cost. Indirect costs were also allocated to
9 the retail category and excluded from the wholesale
10 cost of UNEs. However, Mr. Barta did not address the
11 components of BellSouth's study. He merely took the
12 Florida residence resale discount factor and applied
13 it to BellSouth's total company projected cost and
14 opined that this represents the amount of retail cost
15 to exclude as retail in BellSouth's study.

16

17 Mr. Barta's approach is not a reasonable methodology.
18 The Florida resale discount rates, one for residence
19 and one for business, were determined based on the
20 individual relationships between avoided retail cost
21 and intrastate retail revenues for Florida residence
22 and business operations. The multiplication of
23 Florida's residence resale discount rate times
24 BellSouth's nine-state total forward-looking costs
25 can only result in a meaningless number.

1
2 If Mr. Barta had just looked at the underlying data
3 in BellSouth's study, he would have seen that his
4 proposed adjustment was absurd. For example, in
5 BellSouth's revised study, the total projected
6 expenses in the accounts which the FCC has indicated
7 most likely contain retail related costs (Accounts
8 6611, 6612, 6613, 6621, 6622, and 6623) totals
9 \$2,143,822,370. Of this amount, \$212,620,641 is for
10 operator services expenses that BellSouth has
11 excluded from its shared and common costs. This
12 leaves \$1,931,201,729 of expense in these accounts to
13 separate between wholesale and retail. BellSouth's
14 revised study assigned \$1,599,222,134 of this amount
15 to retail. After allocating indirect costs to
16 retail, BellSouth's total retail costs to be avoided
17 per the revised cost study is \$2,188,554,658. Mr.
18 Barta's adjustment, which is calculated on his
19 Exhibit__WJB-2, would have the Commission exclude
20 \$4,264,360,523 of BellSouth's cost as retail. This
21 amount of retail cost is approximately twice the
22 total in the expense accounts that normally include a
23 portion related to retail. There is no justification
24 for such a proposal.
25

1 Q. WHAT ARE YOUR COMMENTS REGARDING MR. BARTA'S
2 STATEMENT ABOUT THE LEVEL OF PROJECTED OPERATING
3 EXPENSES?

4

5 A. BellSouth has used a reasonable methodology to
6 project its expenses and investments forward for
7 purposes of its cost study. It is important to note
8 that the purpose for projecting expense and
9 investment is so that forward-looking factor
10 relationships can be developed which are then applied
11 against forward-looking investments (i.e., UNE
12 investments which reflect efficient, least cost
13 technology, etc.). As the Commission noted in Docket
14 No. 960833-TP, Order No. PSC-98-0604-FOF-TP, page 55,
15 the application of the Company's shared and common
16 cost factors to forward-looking investments generates
17 some inherent productivity gains. Mr. Barta
18 apparently has not recognized this fact.

19

20 Q. WHAT INFORMATION DOES MR. BARTA'S REBUTTAL
21 EXHIBIT__WJB-1 CONVEY?

22

23 A. His exhibit depicts a chart of BellSouth's total
24 operating expense less depreciation per access line
25 for each year from 1991 through 1999. The data

1 indicates that the expenses per access line were
2 relatively flat from 1991 until 1995 and then
3 declined each year from 1995 through 1999. Because
4 BellSouth was in a major reengineering effort from
5 1995 until approximately 1998 and because there was a
6 major software accounting change that shifted
7 expenses to capital in 1999, the declining trend is
8 understandable. However, merely looking at trends
9 such as this and making forecasts of the future is
10 very risky. For this reason, BellSouth's projection
11 methodology normalizes a current year for unusual
12 events and then utilizes major expense drivers such
13 as inflation, productivity and demand growth to
14 project forward. This is a reasonable approach not
15 withstanding any comment by Mr. Barta to the
16 contrary.

17

18 Q. DOES THIS COMPLETE YOUR REBUTTAL TESTIMONY?

19

20 A. Yes, it does.

21

22

23

24

25

1 CHAIRMAN DEASON: And you likewise move Exhibit
2 119?

3 MR. EDENFIELD: Yes, we do.

4 CHAIRMAN DEASON: Without objection show that
5 Composite Exhibit 119 is admitted.

6 (Exhibit Number 119 received in evidence.)

7 MS. KEATING: Mr. Chairman --

8 CHAIRMAN DEASON: Yes.

9 MS. KEATING: -- could we just get some
10 clarification? Staff was under the impression that 118
11 had not been entered. And so we were thinking --

12 CHAIRMAN DEASON: 118 may -- there is an attempt
13 to enter 118, and there is --

14 MS. BOONE: A failed attempt, which hopefully
15 will be a full-fledged attempt tomorrow.

16 MS. KEATING: Okay. So you are going to keep
17 that number for tomorrow?

18 CHAIRMAN DEASON: Oh, yes, the number is there.
19 It has already been assigned. I can't recall it. It's
20 like telephone numbers, right?

21 MR. EDENFIELD: Once they are there, they are
22 there.

23 CHAIRMAN DEASON: Okay. We will take a
24 ten-minute recess and then we will call Mr. Milner to the
25 stand.

1 (Recess.)

2 CHAIRMAN DEASON: Call the hearing back to
3 order.

4 MS. WHITE: BellSouth calls Mr. Milner to the
5 stand. Mr. Milner, would you please state your name,
6 address and -- before you do that, Mr. Milner was not here
7 yesterday, so he does need to be sworn in.

8 CHAIRMAN DEASON: Please stand and raise your
9 right hand.

10 (Witness sworn.)

11 W. KEITH MILNER

12 was called as a witness on behalf of BellSouth
13 Telecommunications, Inc., and, having been duly sworn,
14 testified as follows:

15 DIRECT EXAMINATION

16 BY MS. WHITE:

17 Q Now, would you please state your name, address,
18 and by whom you are employed for the record?

19 A Yes. My name is W. Keith Milner, my business
20 address is 675 West Peachtree Street, Atlanta, Georgia. I
21 am employed by BellSouth Telecommunications, Incorporated
22 as Senior Director, Interconnection Services.

23 Q And have you caused to be prefiled in this
24 docket rebuttal testimony consisting of 42 pages filed on
25 August 21st, 2000?

1 A Yes, I did.

2 Q Do you have any changes or corrections to that
3 testimony at this time?

4 A No.

5 Q If I were to ask you the questions contained in
6 your prefiled testimony at this time would your answers be
7 the same?

8 A Yes, they would.

9 MS. WHITE: I would ask that Mr. Milner's
10 rebuttal testimony be inserted into the record as if read.

11 CHAIRMAN DEASON: Without objection it shall be
12 so inserted.

13 BY MS. WHITE:

14 Q And did you have one exhibit attached to your
15 rebuttal testimony --

16 A Yes, I did.

17 Q -- labeled WKM-2?

18 A That is correct.

19 Q Was that exhibit prepared at your direction?

20 A Yes, it was.

21 Q Do you have any changes to that exhibit?

22 A No.

23 MS. WHITE: I would ask that Mr. Milner's
24 exhibit to his prefiled rebuttal testimony be marked as
25 the next exhibit.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN DEASON: That will be Exhibit 120.

MS. WHITE: Thank you.

(Exhibit Number 120 marked for identification.).

1 BELLSOUTH TELECOMMUNICATIONS, INC.
2 REBUTTAL TESTIMONY OF W. KEITH MILNER
3 BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
4 DOCKET NO. 990649-TP
5 (PHASE II)
6 AUGUST 21, 2000

7
8 Q. PLEASE STATE YOUR NAME, YOUR BUSINESS ADDRESS, AND
9 YOUR POSITION WITH BELLSOUTH TELECOMMUNICATIONS, INC.
10 (BELLSOUTH).

11
12 A. My name is W. Keith Milner. My business address is 675 West Peachtree
13 Street, Atlanta, Georgia 30375. I am Senior Director - Interconnection
14 Services for BellSouth. I have served in my present role since February
15 1996, and have been involved with the management of certain issues
16 related to local interconnection, resale, and unbundling.

17
18 Q. ARE YOU THE SAME W. KEITH MILNER WHO FILED DIRECT
19 TESTIMONY IN THIS PROCEEDING?

20
21 A. Yes.

22
23 Q. WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?

24
25 A. I will respond to portions of the testimony of witnesses Terry Murray,

1 David A. Nilson, John C. Donovan, Brian F. Pitkin, Mark Stacy, Brenda
2 Kahn, and William Barta in regard to certain network technical issues.

3

4 Mark Stacy – “The Coalition”

5 Q. DOES BELLSOUTH 'S PROPOSED METHOD OF SUB-LOOP ACCESS
6 INVOLVE “ENHANCED SECURITY” AS SUGGESTED BY MR. STACY
7 ON PAGE 13 OF HIS TESTIMONY?

8

9 A. No. BellSouth seeks reasonable security measures meant to protect the
10 reliability and security of the service to BellSouth’s end users as well as
11 end users of Alternative Local Exchange Carriers (“ALECs”) using
12 unbundled loops or unbundled sub-loop elements acquired from
13 BellSouth.

14

15 Q. DO YOU BELIEVE THAT THE ALEC IS THE COST CAUSER IN THE
16 PLACEMENT OF ACCESS TERMINALS AS DISCUSSED BY MR.
17 STACY ON PAGE 14 OF HIS TESTIMONY?

18

19 A. Yes, because BellSouth does not benefit from the placement of an access
20 terminal. An access terminal is necessary to prevent intentional or
21 unintentional service disruption caused by ALECs' technicians and to
22 ensure accurate record keeping and billing. Thus, it is appropriate that
23 requesting ALECs bear those costs.

24

25 Q. ON PAGE 15 OF HIS TESTIMONY, IN DISCUSSING INTRABUILDING

1 NETWORK CABLE ("INC"), MR. STACY STATES " IF ONE WEEK
2 LATER ANOTHER CUSTOMER WANTS TO SWITCH ITS SERVICE TO
3 AN ALEC, BELLSOUTH WOULD CHARGE THAT ALEC AS IF
4 BELLSOUTH NEED TO PROVISION A NEW 25-PAIR PANEL (\$402.70
5 AND \$158.23) AND AS IF THE ALEC WAS ORDERING ITS FIRST PAIR
6 (\$135.45)." DO YOU AGREE?

7

8 A. No. BellSouth assesses the charges associated with the installation of an
9 access terminal only once and only at the first request for access. Such
10 charges would not be assessed again until the ALEC requests an
11 additional 25-pair panel, presumably when the first 25-pair panel is fully
12 utilized.

13

14 Q. ON PAGE 15 OF HIS TESTIMONY, MR. STACY STATES THAT FOR
15 EACH NEW ALEC CUSTOMER, "BELLSOUTH WILL NEED TO
16 DISPATCH A TECHNICIAN TO MAKE A CROSS CONNECTION". IS
17 HE CORRECT?

18

19 A. No. BellSouth will pre-wire all Network Terminating Wire (NTW) pairs to
20 the access terminal. By terminating such pairs on separate connecting
21 blocks serving as an access terminal for the ALEC, the need for
22 dispatches of a BellSouth technician on all such pre-wired pairs is
23 eliminated. For example, BellSouth currently has its own terminal in each
24 garden apartment arrangement. For each garden terminal, BellSouth will
25 create a separate access terminal and will pre-wire to the access terminal

1 all the pairs necessary to serve each facility. Therefore, for garden
2 apartments, this means that each cable pair available to serve customers
3 in that garden apartment building will appear both on BellSouth's terminal
4 and on the access terminal. An ALEC wanting to serve a customer in the
5 garden apartment situation would build its terminal at that location and
6 then wire its cable pair to the appropriate pre-wired location on the access
7 terminal.

8
9 The treatment for Intrabuilding Network Cable ("INC") in high-rise buildings
10 will be different. BellSouth will still build an access terminal to
11 complement BellSouth's own terminal located in the high-rise building.
12 The ALEC wanting to access those facilities will still have to build its own
13 terminal for its cable pairs. However, rather than pre-wiring the access
14 terminal, when BellSouth receives an order for INC from the ALEC,
15 BellSouth will then wire the particular INC pairs requested from
16 BellSouth's terminal to the ALEC's access terminal.

17
18 Q. PLEASE FURTHER DISCUSS WHY BELLSOUTH DOES NOT
19 PROPOSE TO PRE-WIRE EACH INC PAIR TO THE ACCESS
20 TERMINAL.

21
22 A. BellSouth does not propose to pre-wire each INC pair to the access
23 terminal in high-rise buildings because it is simply impractical to do so.
24 The garden apartment terminal I discussed above might have 20 to 25
25 loops terminated on it, thus making pre-wiring each NTW pair to the

1 access terminal something that can be done with a reasonable effort. On
2 the other hand, high-rise buildings may have hundreds or even thousand
3 of pairs, which would make pre-wiring the access terminal impractical.

4
5 Further, maintenance of INC cable records is more problematic than
6 maintenance of NTW records because, unlike NTW records, INC cable
7 records are mechanized records not available at the access terminal.
8 Keeping accurate records of what pairs are spare, working, or defective is
9 critical to ensuring high quality service, both in provisioning new or
10 additional customer lines and in repairing existing customers' service.
11 NTW records consist generally as paper tags on each pair of wires that
12 are present at the NTW garden terminal. A technician can usually
13 determine the use to which a particular pair is being put while on-site
14 either via the tag or by electrically testing the NTW. However, such
15 "intrusive testing" by electrically testing the NTW is not recommended
16 because such testing cannot be done without interrupting existing line
17 transmissions. Of course, such disturbances could quickly lead to end
18 user dissatisfaction.

19
20 Regarding INC cable records, because such records are mechanically
21 inventoried records, individual assignments of INC pairs are made as
22 orders for service are processed. Should specific INC pairs become
23 unusable, a notation is made in the records system so that the pairs are
24 not assigned as the need arises for additional pairs. Thus, a field
25 technician has no way of knowing whether a specific INC pair is usable

1 and available without risking disruption of service to existing end users.

2 Using a test set to determine whether the cable pair is in use would disrupt
3 an in-progress transmission. Utilizing INC pairs at random could result in
4 taking an existing end user out of service, or in having the new end user's
5 service be inoperable because of a faulty INC pair. Should a technician
6 by chance choose a spare INC pair and successfully install the end user's
7 service, there is no means of protecting that service from potential
8 disruptions resulting from the next technician entering that work area, no
9 matter whether that technician is employed by BellSouth or an ALEC. As
10 subsequent technicians enter the work scene, the existing cable pair INC
11 records would progressively deteriorate, creating an immediate and
12 significant service problem that would be extremely costly and difficult to
13 correct. The bottom line is that allowing an ALEC's technician to try to
14 locate spare facilities to provide service would inevitably result in service
15 degradation and chaotic service provisioning by all carriers.

16
17 Indeed, utilizing INC pairs at random could result in taking an existing end
18 user out of service, or in having the new end user's service be inoperable
19 because of a faulty INC pair. Should a technician by chance choose a
20 spare INC pair and successfully install the end user's service, there is no
21 means of protecting that service from potential disruptions resulting from
22 the next technician entering that work area, no matter whether that
23 technician is employed by BellSouth or an ALEC. As subsequent
24 technicians enter the work scene, the existing cable pair INC records
25 would progressively deteriorate, creating an immediate and significant

1 service problem that would be extremely costly and difficult to correct.

2

3 Q. IN DISCUSSING NTW ON PAGE 16 OF HIS TESTIMONY, MR. STACY
4 STATES "THAT BUILDING AN ACCESS TERMINAL IS
5 UNNECESSARY..." . DO YOU AGREE?

6

7 A. No, and apparently this Commission doesn't agree either, based on its
8 Order No. PSC-99-2009-FOF-TP dated October 14, 1999 in Docket No.
9 990149-TP ("MediaOne Order"). In that Order, this Commission
10 determined that MediaOne and others could gain access to unbundled
11 NTW (UNTW) without reducing network security and reliability by adopting
12 BellSouth's proposed form of access. Clearly, the access terminal
13 provides a useful function. In the MediaOne Order, at page 17, the
14 Commission stated:

15

16 The record does not contain evidence of any case which
17 would support a proposal where one party is seeking to use
18 its own personnel to, in effect, modify the configuration of
19 another party's network without the owning party being
20 present. We find that MediaOne's proposal to physically
21 separate BellSouth's NTW cross-connect facility from
22 BellSouth's outside distribution cross-connect facilities is an
23 unrealistic approach for meeting its objectives. Therefore,
24 BellSouth is perfectly within its rights to not allow MediaOne
25 technicians to modify BellSouth's network.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Further, the Commission stated:

...Based on the evidence presented at the hearing, we believe that it is in the best interests of the parties that the physical interconnection of MediaOne's network be achieved as proposed by BellSouth.

Q. HAVE OTHER COMMISSIONS IN BELLSOUTH'S REGION REACHED THE SAME CONCLUSION THAT USE OF ACCESS TERMINALS IS APPROPRIATE FOR ACCESS TO NTW?

A. Yes. In its Order in Docket Number 10418-U, the Georgia Commission found that MediaOne should have access to BellSouth's facilities through the use of an access terminal but that at the time of providing service to a particular end user, no BellSouth technician need be involved in the process. At page 10 of its Order, the Georgia Commission stated:

As stated in the prior section, to the extent there is not currently a single point of interconnection that can be feasibly accessed by MediaOne, consistent with the FCC's Third Report and Order, BellSouth must construct a single point of interconnection that will be fully accessible and suitable for use by multiple carriers. Such single points of interconnection shall be constructed consistent with

1 MediaOne's proposal such that MediaOne shall provide its
2 own cross connect (CSX) facility in the wiring closet to
3 connect from the building back to its network. MediaOne
4 would then be able to connect its customers within the MDU
5 by means of an "access CSX".

6

7 Q. ON PAGE 16 OF HIS TESTIMONY, MR. STACY STATES THAT
8 "THE COALITION WOULD PREFER TO HAVE ITS OWN
9 TECHNICIAN PROVISION THE CROSS-CONNECT IN THE
10 FIRST PLACE." DIDN'T THE FLORIDA COMMISSION REJECT
11 THIS APPROACH IN THE MEDIAONE CASE?

12

13 A. Yes. The quotation from this Commission's Order in my earlier
14 response clearly rejects such an approach.

15

16 Q. ON PAGE 16 OF HIS TESTIMONY, MR. STACY STATES "IT IS
17 BELL SOUTH'S OWN SECURITY CONCERNS, HOWEVER, THAT
18 NECESSITATE THESE COSTS [THAT IS, THE ACCESS
19 TERMINAL AND ASSOCIATED COSTS]" FOR UNTW. DO YOU
20 AGREE?

21

22 A. No. Mr. Stacy's position is untenable. The Telecommunications
23 Act of 1996 and related FCC and state commission proceedings
24 have established that BellSouth must cooperate with competitors to
25 foster competition. However, nothing in those proceedings requires

1 BellSouth to finance competitive entry into the telecommunications
2 market or to sacrifice network reliability or security. BellSouth
3 would have no reason to construct access terminals if not for the
4 ALECs' desire to gain access to BellSouth's sub-loop facilities.
5 Regulatory authorities, as I will discuss below, have clearly
6 established that BellSouth has a responsibility to safeguard its
7 network and facilities as various means of interconnection are
8 identified. The access terminal at issue here has been determined
9 to be a reasonable method of interconnection which addresses
10 ALEC needs while providing adequate security for BellSouth's
11 network. Therefore, if an ALEC desires to interconnect, that ALEC
12 should bear the cost of doing so.

13
14 As to the regulatory basis of BellSouth's position, in its First Report and
15 Order (CC Docket No. 96-98, released August 8, 1996) at paragraph 198,
16 the FCC included the following statement:

17
18 Specific, significant, and demonstrable network reliability concerns
19 associated with providing interconnection or access at a particular
20 point, however, will be regarded as relevant evidence that
21 interconnection or access at that point is technically infeasible.

22
23 The FCC elaborated further on this point at paragraph 203 of that same
24 Order, by stating:

25

1 We also conclude, however, that legitimate threats to network
2 reliability and security must be considered in evaluating the
3 technical feasibility of interconnection or access to incumbent LEC
4 networks. Negative network reliability effects are necessarily
5 contrary to a finding of technical feasibility. Each carrier must be
6 able to retain responsibility for the management, control, and
7 performance of its own network. (Emphasis added.)
8

9 Thus, the FCC's First Report and Order clearly supports a finding that the
10 form of direct access to unbundled sub-loop elements sought by the
11 Coalition is not technically feasible. As discussed earlier, the Florida
12 Commission has adopted this same view in the MediaOne arbitration
13 docket.
14

15 Q. ON PAGE 17 OF HIS TESTIMONY, MR. STACY STATES "THE
16 COALITION URGES THE FPSC TO REQUIRE BELLSOUTH TO
17 AT LEAST ASSIST IN RECOVERING THE COSTS ASSOCIATED
18 WITH THE ADDED SECURITY." [EMPHASIS ADDED]. SHOULD
19 BELLSOUTH SHARE IN COSTS TO PROTECT BELLSOUTH'S
20 NETWORK THAT ARE NECESSITATED SOLELY BY ALECS'
21 USE OF BELLSOUTH'S NETWORK?
22

23 A. No. BellSouth does not need to protect its network from its own
24 technicians. BellSouth is entitled to recover its costs for reasonable
25 security measures as determined by the FCC and as discussed in

1 the preceding answer. This Commission has already found
2 BellSouth's proposed methods of access to be reasonable and
3 therefore subject to appropriate cost recovery.

4
5 Q. FURTHER ON PAGE 17, MR. STACY STATES "SHOCKINGLY,
6 BELLSOUTH PROPOSES NOT ONLY CHARGING THE FIRST
7 CLEC THAT REQUIRES ACCESS TO INC, BUT ALSO
8 CHARGING EACH SUBSEQUENT ALEC REQUEST FOR A
9 LOOP THE FULL COSTS ASSOCIATED WITH THE
10 INSTALLATION OF AN ACCESS TERMINAL." IS BELLSOUTH'S
11 POSITION "SHOCKING"?

12
13 A. No. Again, in its MediaOne Order, this Commission found appropriate
14 BellSouth's position that MediaOne and others could gain access to
15 unbundled NTW via BellSouth's proposed form of access without reducing
16 network security and reliability, stating on page 17 that:

17
18 We also conclude that the BellSouth-installed access
19 terminal should be reserved for exclusive use by MediaOne.
20 If other ALECs are permitted access to the terminal installed
21 for MediaOne, MediaOne would be subject to the same
22 network security and control problems that BellSouth uses in
23 its arguments. In addition, because MediaOne is required to
24 pay BellSouth for the access terminal and the labor to install
25 it, we believe it would be inappropriate for BellSouth to offer

1 other ALECs a sharing arrangement on this terminal, without
2 MediaOne's approval.

3

4 The Commission's Order addressed access to NTW; however, this
5 same reasoning applies to ALECs' access to INC and supports
6 BellSouth's position. Finally, let me reiterate that BellSouth
7 assesses the charges associated with the installation of an access
8 terminal only once and only as the first request for access. Such
9 charges would not be assessed again to the same ALEC until that
10 ALEC requests an additional 25-pair panel, presumably when the
11 first 25-pair panel is fully utilized.

12

13 Q. IN CONNECTION WITH MR. STACY'S CONCERNS AS STATED
14 ON PAGE 17 OF HIS TESTIMONY ABOUT THE UP-FRONT
15 COSTS OF ACCESS TERMINAL CONSTRUCTION, IS
16 BELLSOUTH WILLING TO ALLOW SHARING OF AN ACCESS
17 TERMINAL BY MULTIPLE CARRIERS?

18

19 A. Yes, if that is determined to be acceptable by this Commission.
20 However, based on my understanding of BellSouth's cost study, if
21 the Commission were to find ALEC sharing of the access terminal
22 to be acceptable, there may need to be adjustments made to
23 BellSouth's study for the affected rate elements.

24

25 Q. ON PAGE 18 OF HIS TESTIMONY, MR. STACY INDICATES

1 THAT BELLSOUTH SHOULD PLACE A SEPARATE ACCESS
2 TERMINAL INTO A MDU TO WHICH IT WOULD CROSS-
3 CONNECT ALL AVAILABLE PAIRS WITHIN THE MDU." IS
4 BELLSOUTH WILLING TO DO SO?

5

6 A. Yes, as I stated earlier, this is what BellSouth proposes for access
7 to NTW. However, for reasons I discussed earlier, this is not
8 possible in the case of the hundreds or even thousands of INC
9 pairs present in many multi-story buildings.

10

11 Q. AT THE TOP OF PAGE 19, MR. STACY DISCUSSES THE
12 DIRECT CONNECTION OF ALEC EQUIPMENT TO ILEC INC.
13 DOES BELLSOUTH AGREE THAT ALECS SHOULD BE ABLE TO
14 DIRECTLY CONNECT ITS EQUIPMENT TO BELLSOUTH'S INC?

15

16 A. No, and if some of the instances Mr. Stacy cites occurred in Florida, then
17 that ALEC has violated this Commission's rules. I am startled that the
18 Coalition apparently has ignored this Commission's applicable rules as
19 well as the tariffs of other telephone companies with whom they must
20 interconnect. The ownership of NTW and INC is well established in
21 Chapter 25 of the Commission's rules for telephone companies, which
22 read as follows:

23

24 25-4.0345 Customer Premises Equipment and Inside Wire.

25 (1) Definitions: For purposes of this chapter, the definition to

1 the following terms apply:

2 (a)....

3 (b) "Demarcation Point." The point of physical
4 interconnection (connecting block, terminal strip, jack,
5 protector, optical network interface, or remote isolation
6 device) between the telephone network and the
7 customer's premises wiring. Unless otherwise ordered
8 by the Commission for good cause shown, the location of
9 this point is:

- 10 1. Single Line/Single Customer Building – Either at the
11 point of physical entry to the building or a junction
12 point as close as practicable to the point of entry.
- 13 2. Single Line/Multi Customer Building – within the
14 customer's premises at a point easily accessed by the
15 customer.
- 16 3. Multi Line Systems/Single or Multi Customer Building
17 -- At a point within the same room and within 25 feet
18 of the FCC registered terminal equipment or cross
19 connect field.
- 20
- 21 4. Network facilities up to and including the demarcation
22 point are part of the telephone network, provided and
23 maintained by the telecommunications company
24 under tariff.

25

1 In addition, BellSouth's tariffs are very clear about the ownership of its
2 equipment and facilities. For example, BellSouth's General Subscriber
3 Service Tariff contains the following statements in A2. General
4 Regulations:

5

6 A2.3.10 Provision and Ownership of Equipment and Facilities

- 7 A. Equipment and facilities furnished by the Company on the
8 premises of a subscriber or authorized user of the Company
9 are the property of the Company and are provided upon the
10 condition that such equipment and facilities, except as
11 expressly provided in this tariff, must be installed, relocated
12 and maintained by the Company....
- 13 B. Subscribers may not disconnect or remove or permit others to
14 disconnect or remove any apparatus installed by the Company,
15 except as expressly provided in this tariff or upon the written
16 consent of the Company.

17

18 Further, in that same section of the General Subscriber Services
19 Tariff, the following language appears at A2.3.13 Maintenance and
20 Repairs:

21

22 In case of damage, loss, theft, or destruction of any of the
23 Company's property due to the negligence or willful act of the
24 subscriber or other persons authorized to use the service ...the
25 subscriber shall be required to pay the expense incurred by the

1 Company in connection with the replacement of the property
2 damaged, lost, stolen, or destroyed, or the expense incurred in
3 restoring it to its original condition.

4

5 Finally, if the practice of members of the Coalition is as Mr. Stacy
6 describes, this Commission should consider a show cause proceeding to
7 identify those ALECs that have appropriated BellSouth's property without
8 BellSouth's knowledge or consent.

9

10 Q. ON PAGE 19 OF HIS TESTIMONY, MR. STACY CITES THE
11 ADVANTAGE OF HAVING A BELLSOUTH TECHNICIAN PRE-WIRE
12 THE ACCESS TERMINAL TO AVOID COSTS AND DELAYS. DO YOU
13 AGREE?

14

15 A. Yes, as the concept applies to NTW; however, I do not agree in the case
16 of INC for reasons discussed earlier in my testimony.

17

18 Q. ON PAGE 21 OF HIS TESTIMONY, MR. STACY STATES "THE FCC
19 STATED THAT AN INCUMBENT LEC MUST DEVELOP A SYSTEM OF
20 DISTRIBUTING THE COST BY COMPARING THE AMOUNT OF
21 FACILITIES ACTUALLY USED BY A NEW ENTRANT WITH THE
22 OVERALL EXPENSES INCURRED IN PROVIDING THAT FACILITY."
23 WHAT IS YOUR RESPONSE?

24

25 A. Mr. Stacy is mistaken. First, he relies upon the FCC's collocation rulings,

1 which apply to interconnection, and not to unbundled network elements.
2 Second, there is no cost to be distributed. Consistent with this
3 Commission's order in the MediaOne arbitration, BellSouth will provide
4 each ALEC its own access terminal and will recover the cost of that
5 access terminal from the requesting ALEC.

6

7 Q. ON PAGE 22 OF HIS TESTIMONY, MR. STACY STATES "FDI
8 TERMINALS PROVIDE ENHANCED NETWORK FLEXIBILITY AND
9 MAINTENANCE OPPORTUNITIES THAT ARE SIMILAR (IF NOT
10 IDENTICAL) TO THE ENHANCED SECURITY AND NETWORK
11 RELIABILITY ADVANTAGES ESPOUSED BY BELL SOUTH WITH
12 RESPECT TO THE CONSTRUCTION OF A SEPARATE TERMINAL TO
13 BE USED FOR ACCESS TO INC. PLEASE COMMENT.

14

15 A. Consistent with access to NTW and INC, BellSouth proposes the same
16 form of access to unbundled loop distribution facilities and unbundled loop
17 feeder facilities accessed at the Feeder Distribution Interface ("FDI"). That
18 is, BellSouth will install an access terminal for the requesting ALEC.
19 Direct, unencumbered access by ALECs to BellSouth's FDI should be
20 rejected for the same reasons this Commission rejected direct,
21 unencumbered access to BellSouth's garden terminals and the NTW
22 inside them. Direct, unencumbered access is unnecessarily invasive and
23 significantly reduces network reliability and security. Given the large
24 quantity of network facilities housed inside the FDI, direct access would
25 cause a serious risk of service interruption to a very large geographic

1 area. Such a potential risk should not be condoned.

2

3 Q. MR. STACY GOES ON TO STATE "IN REQUIRING THE FIRST AND
4 EACH ADDITIONAL ALEC THAT REQUESTS COLLOCATION IN A MDU
5 TO BEAR ALL OF THE EXPENSES WITH THAT COLLOCATION, AND
6 NOT JUST THE PRO-RATA EXPENSES OF THE FACILITIES IT WILL
7 USE, BELLSOUTH'S PROPOSAL EXPRESSLY CONFLICTS WITH
8 FEDERAL LAW." DO YOU AGREE?

9

10 A. No. First, the issue at hand is about access to unbundled network
11 elements rather than collocation. Second, this Commission decided in the
12 MediaOne arbitration case that each ALEC should have its own access
13 terminal for access to NTW. Third, this Commission has latitude to decide
14 questions of technical feasibility and has found BellSouth's proposed form
15 of access to be technically feasible. BellSouth complies with this
16 Commission's order, and thus is simultaneously compliant with the FCC's
17 order.

18

19 Q. FURTHER ON PAGE 23, MR. STACY STATES "DATA ALECS SUCH AS
20 CLEARTEL ALREADY HAVE ENTERED INTO AGREEMENTS WITH
21 AND PAY MDU OWNERS TO GAIN ACCESS TO THE WIRING
22 CONTAINED IN THE MDU." WHAT KIND OF "WIRING CONTAINED IN
23 THE MDU" DOES HE REFER TO?

24

25 I cannot tell. If he is referring to inside wire on the customer's side of the

1 demarcation point, Mr. Stacy's statement is irrelevant since BellSouth is
2 not seeking to recover the cost of "inside wiring". If the wiring is on the
3 network side of the demarcation point, the "wiring" belongs to BellSouth,
4 so BellSouth, not the MDU owner, should be paid for its use.

5

6 Q. ON PAGE 24 OF HIS TESTIMONY, MR. STACY STATES "IN FLORIDA,
7 CLEARTEL ALREADY PAYS BELLSOUTH SIGNIFICANT AMOUNTS OF
8 MONEY FOR T1 ACCESS." IS THIS RELEVANT TO THE ISSUE AT
9 HAND?

10

11 A. No. BellSouth appreciates Cleartel's business for BellSouth's DS1
12 services. However, those rates are not at issue here. What is at issue is
13 ALECs' access to unbundled sub-loop elements. The rates Cleartel pays
14 BellSouth for DS1 services are appropriate, as are BellSouth's proposed
15 rates for access to unbundled sub-loop elements.

16

17 Q. ON PAGE 24, MR. STACY STATES "AS REQUIRED BY FEDERAL LAW,
18 THE PROPER RATES ASSOCIATED WITH INC SHOULD BE BASED
19 UPON THE ACTUAL FACILITIES USED BY AN ALEC WHICH, IN THIS
20 CASE, WOULD BE ON A PER-LINE BASIS." DO YOU AGREE?

21

22 A. No. The access terminal provided by BellSouth for which BellSouth is
23 entitled to recover its costs is dedicated to the requesting ALEC. Thus,
24 there is no other ALEC from which BellSouth would be able to recover its
25 costs. Further, this Commission ordered BellSouth to provide a separate

1 access terminal for ALEC access to unbundled sub-loop elements. Thus,
2 contrary to Mr. Stacy's suggestion, pro-rating the cost of the access
3 terminal based on the capacity of the terminal (expressed in quantity of
4 pairs) is not appropriate. Indeed, if Mr. Stacy's proposal were adopted,
5 BellSouth would be denied the recovery of its costs.

6

7 Brenda Kahn – AT&T & MCI Worldcom

8 Q. DO YOU AGREE WITH MS. KAHN'S DEFINITION OF NETWORK
9 TERMINATING WIRE (NTW) AS DISCUSSED ON PAGE 7 OF HER
10 TESTIMONY?

11

12 A. What Ms. Kahn describes is typical of the use of NTW in garden
13 apartment settings. However, NTW may be used alone or in conjunction
14 with INC. In garden apartments, there is no INC and, thus, the NTW
15 connects directly to BellSouth's loop distribution facilities. In this sense,
16 NTW is the "last" component of BellSouth's loop on the network side of the
17 demarcation point. Conversely, in multi-story buildings, NTW is connected
18 to the INC at cross-connect terminals usually on each floor of the building
19 and "fans out" the cable pairs to individual customer suites or rooms on
20 each floor. Depending on the ALEC's network needs, NTW can be
21 purchased from BellSouth as a separate unbundled sub-loop offering, or
22 as a component of unbundled INC.

23

24 Q. WHAT IS MS. KAHN'S BASIS FOR HER STATEMENT ON PAGE 9 OF
25 HER TESTIMONY THAT "AN ADDITIONAL PANEL FLATLY CONFLICTS

1 WITH THE FCC'S UNE REMAND ORDER...?"

2

3 A. I am not sure. She seems to suggest that the basis of her belief is that
4 BellSouth has direct access to its own facilities while ALECs gain access
5 through the access terminal. However, her assumption is incorrect. The
6 FCC did not require an incumbent LEC such as BellSouth to share a
7 single point of interconnection, constructed for use by ALECs.

8

9 Q. WHY DOES BELLSOUTH BELIEVE THE ACCESS TERMINAL IS AN
10 APPROPRIATE MEANS OF PROVIDING ALECS ACCESS TO SUB-
11 LOOP ELEMENTS?

12

13 A. As I previously explained, BellSouth's method provides the ALEC with the
14 requested access while retaining network reliability, integrity, and security
15 for both BellSouth's network and the ALEC's network.

16

17 Q. DO YOU AGREE THAT BELLSOUTH'S PROPOSED FORM OF ACCESS
18 "IS NOT COMPETITIVELY NEUTRAL" AS STATED BY MS. KAHN ON
19 PAGE 10 OF HER TESTIMONY?

20

21 A. No, I do not. The use of the access terminal strikes a reasonable balance
22 between giving ALECs the access they want while preserving the
23 reliability and security of BellSouth's network. Ms. Kahn's views were
24 thoroughly presented on behalf of MediaOne by its witness, Mr. Greg
25 Beveridge, in the case I mentioned earlier. I note that MediaOne has

1 recently been acquired by AT&T. The Commission should reject Ms.
2 Kahn's proposals for the same reasons it rejected those of Mr. Beveridge
3 in its MediaOne Order.

4

5 Q. MS. KAHN SUGGESTS THAT ACCESS TO INC BE AS SET OUT IN
6 HER EXHIBIT BK-2. WHAT IS WRONG WITH SUCH AN APPROACH?

7

8 A. Her approach is unnecessarily invasive and introduces substantial risk to
9 BellSouth's network. For example, even in a simple residential garden
10 apartment situation, bridging the working BellSouth pairs over to the
11 access terminal could, in fact, disturb working customers' services. In a
12 commercial high-rise building involving business customers with high-
13 speed digital data services operating 24 hours per day, the problem is
14 even more acute. Any disturbance of a working circuit would cause
15 irreparable harm to existing services and subject BellSouth and this
16 Commission to numerous customer complaints. Furthermore, such
17 interruptions could and would be considered by some customers as a
18 serious breach of security.

19

20 Further, and while I am in no way disparaging any ALEC's technicians,
21 with direct access it is very possible for an ALEC's technician to
22 unintentionally disrupt end user service (provided by either BellSouth or
23 the ALEC). Such activity simply presents an unnecessary risk for all
24 involved parties - end users, BellSouth, and other ALECs (i.e., because
25 such actions by one ALEC could have the same disrupting effect on

1 existing sub-loop elements that another party is utilizing.)

2
3 Direct access also would place BellSouth at the ALECs' mercy to tell
4 BellSouth how, when, where, and the amount of BellSouth's facilities that
5 were being used. I previously addressed the record-keeping issues
6 inherently involved with access to INC. The bottom line is that such
7 uncontrolled access to these sub-loop elements would have a totally
8 debilitating effect on BellSouth's ability to maintain accurate cable
9 inventory records.

10
11 Obviously, it would be impossible for BellSouth to ever have an accurate
12 record of its facilities if every ALEC in the state had direct access to these
13 facilities. Of course, the lack of accurate inventory information would
14 result in imminent failure of BellSouth's (and ALECs using sub-loop
15 elements acquired from BellSouth) service provisioning, maintenance and
16 repair processes. I want to be perfectly clear about this. What we are
17 talking about here is allowing technicians from any and every ALEC in
18 Florida to walk into an equipment room in a high-rise building and start
19 appropriating pairs and facilities for its own use, without consulting with
20 anyone and without any obligation to keep appropriate records so that the
21 next person in the room knows what belongs to whom. It doesn't take
22 much imagination to know what a disaster this would end up being for
23 BellSouth and for the customers in the building in question. It should be
24 noted that *any* mechanized cable management system (CMS) available in
25 the telecommunications market today has at its core the fundamental

1 requirement that the manager of the CMS maintain absolute and full
2 control over cable pair assignment. To do otherwise would result in
3 chaotic failure of the telecommunications systems for service delivery and
4 maintenance.

5

6 Q. WHAT DO YOU BELIEVE MS. KAHN REFERS TO ON PAGE 11 OF
7 HER TESTIMONY REGARDING "APPROPRIATE PROCEDURES THAT
8 COULD BE IMPLEMENTED"?

9

10 A. I believe Ms. Kahn refers to the fact that BellSouth's technicians need not
11 be present at the time an ALEC makes use of NTW through an access
12 terminal. BellSouth agrees, which is why BellSouth is pre-wiring all NTW
13 pairs to eliminate the need for the presence of a BellSouth technician.

14

15 Q. CAN AT&T AND MCI WORLDCOM ADEQUATELY INDEMNIFY
16 BELL SOUTH FOR "ADVERSE CONSEQUENCES" AS SUGGESTED BY
17 MS. KAHN ON PAGE 11 OF HER TESTIMONY?

18

19 A. No, not given the severe service risks created by Ms. Kahn's proposal.
20 Under her proposal, it would be difficult, if not impossible, for AT&T and
21 MCI to indemnify BellSouth for the risk to BellSouth's end users and end
22 users of any ALECs using loops or sub-loops acquired from BellSouth.
23 Further, it causes me great concern that her entire testimony on the issue
24 of indemnification to BellSouth for adverse consequences resulting from
25 an ALEC's actions consists of the statement "in principle, we could

1 support such a notion".

2

3 Q. IS IT APPROPRIATE TO "CORRECT BELLSOUTH'S COST STUDY BY
4 REMOVING THE INVESTMENT ASSOCIATED WITH ADDITIONAL
5 EQUIPMENT AND CROSS CONNECTIONS THAT BELLSOUTH DOES
6 NOT INCUR WHEN IT PROVIDED ACCESS TO RISER CABLE FOR
7 ITSELF" AS PROPOSED BY MS. KAHN ON PAGE 14 OF HER
8 TESTIMONY?

9

10 A. Absolutely not. BellSouth is not required by the FCC's rules to provide
11 identical access to that it uses for itself. Rather, BellSouth must provide
12 nondiscriminatory access, which is consistent with BellSouth's proposed
13 architecture and related costs.

14

15 Q. DO YOU AGREE THAT BELLSOUTH'S METHOD CREATES A
16 SITUATION WHERE "ALECS PAY FOR FULLY DUPLICATIVE,
17 EXTREMELY UNDERUTILIZED EQUIPMENT ..." AS ALLEGED BY MS.
18 KAHN ON PAGE 15 OF HER TESTIMONY?

19

20 A. No. Further, I note that MediaOne's witness Beveridge advocated use of
21 access terminals in both the Florida and Georgia arbitration proceedings,
22 which is what both Commissions ordered. Now MediaOne's new owner,
23 AT&T, is advocating an entirely different approach, for reasons that are
24 not readily apparent.

25

1 Q. ON PAGE 18 OF MS. KAHN'S TESTIMONY, SHE STATES THAT "A
2 BELLSOUTH TECHNICIAN MUST CONNECT AND PERFORM A TURN-
3 UP TEST FOR ALL CROSS CONNECTIONS AT A BUILDING
4 EQUIPMENT TERMINAL INCLUDING THOSE CROSS CONNECTIONS
5 ASSOCIATED WITH ALEC CUSTOMERS. THIS IS UNNECESSARY
6 AND DUPLICATIVE." IS THIS STATEMENT ACCURATE?

7

8 A. No, for the reasons I have already stated.

9

10 Q. MS. KAHN CONTINUES BY SAYING THAT "THE ALEC TECHNICIAN
11 CAN MAKE THE CONNECTIONS AND PERFORM A TURN-UP TEST
12 JUST AS READILY AS A BELLSOUTH TECHNICIAN. " DO YOU
13 AGREE?

14

15 A. No. Again, this is the sort of invasive practice explicitly rejected by this
16 Commission in its MediaOne Order when it found that MediaOne had no
17 right to alter BellSouth's network without BellSouth's technicians being
18 present.

19

20 Terry Murray –BlueStar, Covad, Rhythm Links

21 John C. Donovan and Brian F. Pitkin – AT&T and MCI WorldCom

22 Q. PAGE 29 OF HER TESTIMONY, MS. MURRAY CONTENDS THAT
23 BELLSOUTH INFLATES COSTS BY USE OF UNIVERSAL DIGITAL
24 LOOP CARRIER (UDLC) RATHER THAN USING INTEGRATED DIGITAL
25 LOOP CARRIER (IDLC). SIMILARLY, ON PAGES 13-15, MR. DONOVAN

1 AND MR. PITKIN CONTEND THAT USE OF A MODEL USING UDLC IS
2 INCORRECT. IS THE USE OF UDLC A REASONABLE METHOD OF
3 PROVIDING UNBUNDLED LOOPS ON A STAND-ALONE BASIS (THAT
4 IS, A LOOP NOT IN COMBINATION WITH AN UNBUNDLED SWITCH
5 PORT)?

6

7 A. Yes. One issue in this proceeding is the cost to BellSouth of providing a
8 stand-alone unbundled loop. It is not technically feasible for BellSouth to
9 provide that loop using IDLC at less than a DS-1 level (that is, 24
10 unbundled loops at a time). Consequently, in order to reflect the cost of
11 providing an unbundled at the DS-0 level (that is, a single unbundled loop)
12 it is necessary to reflect the cost of the UDLC system.

13

14 Q. MR. PITKIN AND MR. DONOVAN DISCUSS IDLC SYSTEMS WITH A
15 GR-303 INTERFACE. DOES THIS DISCUSSION CHANGE YOUR
16 CONCLUSION?

17

18 A. No. A GR-303 compliant IDLC system would allow BellSouth to provide
19 IDLC functionality, but at the DS-1 level. The ALEC could choose to
20 acquire a single unbundled loop from a given IDLC remote terminal and
21 that single unbundled loop would require BellSouth to establish an entire
22 DS-1 for its transport. Thus, when we are talking about a single
23 unbundled loop at the DS-0 level, Mr. Pitkin's and Mr. Donovan's solution
24 to use GR-303 compliant IDLC is no solution at all. Furthermore, they
25 conveniently ignore the inefficiencies and limitations inherent in their

1 proposal. As Mr. Pitkin and Mr. Donovan acknowledge, existing GR-303
2 compliant IDLC systems can only be integrated with a very limited number
3 of different switches. Since these IDLC systems must be used in
4 conjunction with BellSouth's systems, only one or two ALECs could even
5 stand to benefit from the arrangement they propose. Under their proposal,
6 for example, as few as one or two individual unbundled loops, provided to
7 one or two different ALECs, would exhaust the capability of the IDLC
8 system to be integrated with different switches.

9

10 Q. ON PAGE 46 OF HER TESTIMONY, MS. MURRAY DISCUSSES SBC'S
11 "PROJECT PRONTO" AND STATES HER BELIEF THAT "...THE NEW
12 NETWORK ARCHITECTURE WILL ELIMINATE ANY NEED (AND COST)
13 TO 'QUALIFY' LOOPS AS SUITABLE FOR DSL-BASED SERVICES
14 BECAUSE ALL LOOPS WILL BE 'PRE-CONDITIONED' TO BE DSL-
15 CAPABLE." DO YOU AGREE?

16

17 A. No. First of all, it is obvious that Ms. Murray has ignored the fact that
18 neither SBC's network nor BellSouth's network has the attributes that SBC
19 has claimed it may have at some point in the future. It is also obvious that
20 some transition period (such as the three years announced by SBC) is
21 required to get from the current network to that future state.

22

23 Second, it is not clear to me from reading SBC's press release when SBC
24 will complete its Project Pronto such that every one of its loops will be
25 xDSL capable as Ms. Murray implies. For example, SBC's press release

1 only discusses high speed services for those customers within 12,000 feet
2 of its central offices but is silent for what services it will make available to
3 customers located farther than 12,000 feet from its central offices.

4
5 Third, her contention that loop makeup activities will never be required
6 once SBC completes its Project Pronto is based on a theoretical
7 assumption that no loop served by digital loop carrier would ever exceed
8 Carrier Service Area (CSA) guidelines. This is not realistic because the
9 placement of outside plant facilities is not an exact science. For example,
10 consider that SBC has planned and constructed its network consistent
11 with CSA guidelines. Further assume that a real estate developer extends
12 a subdivision beyond the originally contemplated geographic scope.
13 SBC's serving arrangement would meet CSA guidelines for most
14 customers but may not meet CSA guidelines for the added section. If that
15 is the case, which is very likely since SBC does not have perfect
16 knowledge of the future (nor does any telecommunications service
17 provider), some customers will likely be served over loops that are not
18 DSL capable notwithstanding the intent of Project Pronto.

19

20 Q. ON PAGES 50-52 OF HER TESTIMONY, MS. MURRAY ARGUES THAT
21 BELLSOUTH'S LACK OF OPERATION SUPPORT SYSTEMS ("OSS")
22 TO FULLY SUPPORT NEXT GENERATION DIGIAL LOOP CARRIER
23 ("NGDLC") SYSTEMS SHOULD NEGATE THE RECOVERY OF ANY
24 COSTS ASSOCIATED WITH THE MANUAL SUPPORT OF NGDLC
25 SINCE THESE ARE NOT "FORWARD-LOOKING". WHAT ARE THE

1 MAJOR TYPES OF OSS THAT YOU BELIEVE ARE AT ISSUE HERE?

2

3 A. In general, I believe the ALECs are discussing BellSouth's provisioning
4 and maintenance systems in the context of NGDLC systems. While
5 NGDLC offers some advantages in the provisioning and maintenance
6 processes, as I will describe below, NGDLC will never eliminate the need
7 to dispatch technicians in any number of scenarios. Any attempt to
8 portray NGDLC as a mechanism by which BellSouth can provision and
9 maintain its network with the single push of a button and without a
10 technician ever visiting the field is pure fantasy.

11

12 Q. PLEASE DISCUSS BELLSOUTH'S PROVISIONING SYSTEMS AS THEY
13 RELATE TO NGDLC.

14

15 A. On the issue of service provisioning via BellSouth's NGDLC systems,
16 there are mechanized interfaces for making the cross connect between
17 the Time Slot Interchanger (TSI) and individual metallic drops at the
18 NGDLC remote terminal. BellSouth presently uses two vendor-specific
19 NGDLC systems, Alcatel Light Span 2000 and Marconi DISC*S. In
20 some areas of BellSouth, software has been loaded in the Alcatel
21 LightSpan 2000 that allows an interface to BellSouth's Operations
22 Systems for Intelligent Network Elements ("OPSINE") support system.
23 Over the interface, OPSINE uses information from the service order to
24 map the cross-connect between the TSI and the subscriber metallic loop
25 distribution pair for Plain Old Telephone Service ("POTS"). In other

1 locations where Alcatel LightSpan 2000 and Marconni DISC*S systems
2 are deployed, the BellSouth service technician uses a technician interface
3 and a laptop computer to provision the cross-connect on either NGDLC
4 system using information from the service order residing on the laptop
5 computer.

6
7 A third procedure that BellSouth uses to reduce dispatches for POTS
8 service (for both BellSouth's end users and ALECs' end users) is the
9 Connect -Through (CT) process. In the CT process for NGDLC systems,
10 once a TSI and metallic loop are assigned to a specific physical address,
11 the assignment records are designated as CT. The CT process allows the
12 loop assignment records to dedicate NGDLC TSI and metallic loop
13 distribution pairs to physical addresses. The CT procedure reduces the
14 need for a dispatch to the NGDLC remote terminal when there are both
15 disconnect and reconnect service orders for the same physical address
16 (for example, when one customer vacates the premises and disconnects
17 service and another customer moves in and requests a service that is
18 compatible with the existing loop makeup).

19
20 However, none of the above procedures will reduce the need for
21 dispatching a technician when a customer's POTS line is changed to a
22 special service or data service. The reason a technician is needed in
23 these situations is to change the line interface card at the NGDLC remote
24 terminal to an integrated or broadband card that is necessary to provide
25 the special/data service to the customer.

1

2 Q. PLEASE DISCUSS BELLSOUTH'S MAINTENANCE SYSTEMS AS THEY
3 RELATE TO NGDLC.

4

5 A. BellSouth has deployed two remote testing architectures. One remote
6 testing architecture is for maintenance of POTS. The second remote
7 testing architecture is for installation and maintenance of designed special
8 services and data services.

9

10 Loop Maintenance Operation System (LMOS) is BellSouth's OSS for the
11 POTS remote testing architecture. The LMOS database uses the
12 customer's telephone number to originate a test of the metallic loop
13 serving the end user associated with the telephone number. The actual
14 access to the metallic loop is made through the central office switch. The
15 central office switch is capable of connecting the remote test head directly
16 to the copper loop leaving the central office. If the end user's serving loop
17 is served on a Digital Loop Carrier ("DLC") or NGDLC, the central office
18 switch can access a remote test head in the DLC/NGDLC remote terminal.
19 The remote test head at the remote terminal location will be able to test
20 the metallic end user's loop for possible faults. The results of the test are
21 then fed back up stream to be recorded in the LMOS database.

22

23 Integrated Test System ("ITS") is BellSouth's OSS for special services and
24 data services remote testing. ITS is used to test installation and
25 maintenance requirements on special services and data services circuits

1 using various remote test units, and ITS is able to test for analog rates
2 (voice and data) and digital rates (DDS, DS-0, DS-1). The various test
3 centers in BellSouth use ITS to remotely access the test points placed at
4 various points along the special/data circuit. For this remote testing
5 architecture, BellSouth's Trunks Information Record Keeping System
6 ("TIRKS") is the database record keeper. Services inventoried within
7 TIRKS can have both a telephone number format and a circuit number
8 format. However, the telephone number format in TIRKS is different from
9 the standard 10-digit format used for POTS service. TIRKS is used to
10 help design and strategically place test access points on the special
11 service or data service circuits.

12
13 In 1995, BellSouth went through an RFI (Request For Information)
14 process to determine the cost of placing a special services test head at
15 each NGDLC remote terminal location. The projected penetration rate of
16 special/data services at NGDLC remote terminal locations failed to
17 produce unit per line costs at an economically acceptable level.
18 Therefore, the result of the RFI process was that BellSouth could not
19 support, from a business case perspective, the deployment of special
20 services test heads at remote terminal locations. Without the special
21 services test head at the NGDLC remote terminal locations, certain
22 installation and maintenance processes for special services and data
23 services still require manual intervention. ITS is not capable of using the
24 POTS remote testing architecture at DLC/NGDLC remote terminal
25 locations because there is no interface between the two testing

1 architectures.

2

3 Q. WHAT FUTURE ENHANCEMENTS DOES BELLSOUTH PLAN FOR ITS
4 NGDLC OSS?

5

6 A. BellSouth continually explores ways to enhance its OSS through such
7 means as reviewing technical literature and meeting with equipment
8 vendors. At present, BellSouth has not identified any system
9 enhancements beyond those already discussed. At such time as any
10 enhancements are determined to be cost effective, they will be
11 incorporated into BellSouth's existing testing architecture for the benefit of
12 both BellSouth and ALECs. However, in order for BellSouth to deploy
13 NGDLC and enjoy the benefits in the manner contemplated by the ALECs,
14 it would be necessary for BellSouth to build loop distribution and loop
15 feeder facilities such that each and every customer loop was "connected
16 through" to BellSouth's central offices at the time of the original
17 construction. Such a scenario would be cost prohibitive and, therefore, is
18 unlikely to exist any time soon.

19

20 Miscellaneous Issues

21 Q. SEVERAL OF THE ALEC WITNESSES COMPLAIN ABOUT WHAT
22 THEY VIEW AS UNDUE AMOUNTS OF COORDINATION TIME IN
23 VARIOUS NON-RECURRING COSTS. IN PARTICULAR, THE WORK
24 GROUPS "UNEC" AND "WMC" WERE MENTIONED. HOW DO YOU
25 RESPOND?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A. As substantiated by the sheer number of issues in this docket and the volume of documentation submitted about those issues, modern day telecommunications is a complicated process. Extremely close coordination is necessary to ensure that the multitude of activities required are completed. This is essential to ensure the proper ordering, provisioning, billing, and maintenance of the various systems involved, particularly when dealing with integrating the systems of multiple companies. The two BellSouth work centers cited by the ALECs are good examples of the nature of such coordination work.

The Unbundled Network Element Center (“UNEC”) is the center responsible for coordinating the conversion of an end user’s service from BellSouth to an ALEC. Obviously, such coordination involves various groups internal to BellSouth as well as the ALEC. Coordination includes:

- Ensuring that the service as ordered by the ALEC is correct.
- Verifying the conversion time with the ALEC.
- Ensuring that BellSouth’s central office and field forces are able to perform the conversion at the time ordered by the ALEC.
- Performing pre-service testing to ensure that dialtone is received from the ALEC.
- Ensuring that wiring is completed by BellSouth’s central office personnel.
- Coordinating the start of the conversion with the central office and field personnel.

- 1 ● Testing with central office or field personnel to ensure that the
2 conversion is complete.
- 3 ● Performing any cooperative acceptance testing with the ALEC.
- 4 ● Providing the completion notification to the ALEC that the conversion
5 is complete for any number porting activities, which are required of the
6 ALEC.

7

8 The Work Management Center ("WMC") pre-assigns work to a technician
9 in order to ensure that the technician is at the conversion site at a time
10 that ensures the conversion will be completed as ordered. On the cutover
11 date, the WMC monitors the progress of the technician to ensure that the
12 technician arrives at the designated time.

13

14 Q. SEVERAL ALECS HAVE SUGGESTED THAT BELLSOUTH SHOULD
15 HAVE A SYSTEM WHICH COULD ELECTRONICALLY SWITCH END
16 USERS FROM A BELLSOUTH SWITCH TO AN ALEC'S SWITCH
17 WITHOUT ANY PHYSICAL WORK, THUS ELIMINATING A COST
18 FACTOR. IS SUCH A VIEW REALISTIC?

19

20 A. Absolutely not. I am not aware of any such system anywhere in the
21 telecommunications industry that could perform such a task, either at
22 present or on a "forward-looking" basis. To the contrary, the cutover
23 process for facility-based ALECs is complex and work intensive.

24

25 Q. WHAT IS INVOLVED IN PERFORMING A LOOP CUTOVER?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A. I have provided Exhibit WKM-2 that shows, pictorially and with a brief narrative, the various work steps involved in a typical loop cutover. These photographs were taken in BellSouth's Norcross, Georgia, central office; however, the work steps are identical in all nine states in BellSouth's region. Briefly, the work steps involved are as follows:

- The BellSouth central office technician receives a call to begin cutover and asks for the cable pair number of the loop to be cutover. This is shown on page 1 of Exhibit WKM-2.
- The technician types the cable pair number into a database to find the loop cutover work order number. This is shown on page 2 of Exhibit WKM-2.
- The technician retrieves a copy of the work order for the unbundled loop. This is shown on page 3 of Exhibit WKM-2.
- The technician in the BellSouth central office responds to the BellSouth UNE Center's request to initiate coordination of the overall cutover of service from BellSouth to the ALEC. This is shown on page 4 of Exhibit WKM-2.
- The technician then verifies that the correct loop has been identified for cutover. This is done using a capability referred to as Automatic Number Announcement Circuit ("ANAC"). The technician plugs a test set onto the loop and dials a special code. The telephone number associated with that loop is played audibly. This is shown on page 5 of Exhibit WKM-2.
- Next, the technician locates the existing jumper on the BellSouth Main

- 1 Distributing Frame (“MDF”) running between the loop and the
2 BellSouth switch port. This is shown on pages 6-7 of Exhibit WKM-2.
- 3 ● The technician locates and removes the end of the jumper connected
4 to the BellSouth cable pair. This is shown on page 8 of Exhibit WKM-
5 2.
 - 6 ● The technician then locates and removes the end of the jumper
7 connected to the BellSouth switching equipment. This is shown on
8 page 9 of Exhibit WKM-2.
 - 9 ● The technician then connects the one end of a new jumper between
10 the loop and a connector block on a cable rack with tie cables to the
11 ALEC’s collocation arrangement. This is shown on page 10 of Exhibit
12 WKM-2.
 - 13 ● The technician then weaves the new jumper wire through the cable
14 rack to reach the tie cables to the ALEC’s collocation arrangement.
15 This is shown on page 11 of Exhibit WKM-2.
 - 16 ● The technician connects the second end of the new jumper to the
17 connector block and thus the tie cable to the ALEC’s collocation
18 equipment. This is shown on page 12 of Exhibit WKM-2.
 - 19 ● The technician next verifies that the loop is connected to the expected
20 switch port and telephone number in the ALEC’s switch, again using
21 ANAC capabilities. This is shown on page 13 of Exhibit WKM-2
 - 22 ● Upon successful completion of the loop cutover, the technician verifies
23 with the ALEC that the order was correctly worked, closes the work
24 order, and notifies the UNE Center. This is shown on page 14 of
25 Exhibit WKM-2.

1977-A

1

2 Naturally, any errors (both BellSouth's errors and the ALEC's errors) slow
3 the process while corrections are identified and made.

4

5 Q. IS BELLSOUTH IN TOTAL CONTROL OF THE LOOP CUTOVER
6 PROCESS?

7

8 A. No. As discussed above, loop cutovers require high levels of coordination
9 between BellSouth and the ALEC to which the unbundled loop is being
10 provided. If an ALEC fails to perform a function in a timely fashion, the
11 delay directly impacts the overall cutover time. For example, one step in
12 the process occurs after the loop is removed from BellSouth's switch and
13 is connected to the ALEC's switch. At this point in the cutover, tests are
14 performed to verify that the loop is connected to the expected switch port
15 and telephone number in the ALEC's switch. However, if the ALEC has a
16 defective switch port, or has provided an invalid switch port number, or
17 any of a number of other possible errors occurs, BellSouth is powerless to
18 move forward until the ALEC takes appropriate corrective steps. While
19 the ALEC is doing so, the total cutover time clock is still running. Clearly,
20 BellSouth's cost involved in performing such cutovers are legitimate,
21 should be appropriately recovered in BellSouth's UNE rates, and should
22 not be summarily dismissed because of dreams of non-existent future
23 systems.

24

25

1 William J. Barta – Florida Cable Telecommunications Association

2 Q. ON PAGES 24-25 OF HIS TESTIMONY, MR. BARTA STATES THAT
3 THE COPPER/FIBER CROSSOVER POINT SHOULD BE ADJUSTED
4 FROM 12,000 FEET AS USED IN BELLSOUTH'S COST STUDIES TO
5 18,000 FEET. HOW DO YOU RESPOND?

6
7 A. Mr. Barta fails to support his recommendation. My understanding of the
8 forward-looking cost study methodology is that it requires the use of the
9 most economic architecture for the service for which costs are being
10 developed. In the development of loop costs, the consideration was for
11 narrowband services. Costs were developed for loops of increasing
12 length using both copper cable and fiber-fed digital loop carrier.
13 Depending on the type of construction (aerial versus buried cable) and the
14 volume of demand (cable size or NGDLC size), the economics of
15 provisioning begin to dictate the use of fiber fed NGDLC rather than
16 copper cable at approximately 10,000 feet of total loop length. Fiber fed
17 NGDLC is almost always the most economic alternative for loops longer
18 than 12,500 feet. Therefore, the economic crossover distance for loop
19 studies for voice grade services is approximately 12,000 feet.

20

21 David A. Nilson - Supra

22 Q. ON PAGE 6 OF HIS TESTIMONY, MR. DAVID NILSON OF SUPRA
23 PROPOSES THAT ALECS ONLY PAY A PRO-RATA RECURRING
24 COST FOR LINES INVOLVING LINE-SHARING, SOMETHING HE
25 REFERS TO AS DIGITALLY ADDED MAIN LINES ("DAML"). PLEASE

1 RESPOND.

2

3 A. First, line-sharing is not provisioned using DAMLs, as Mr. Nilson
4 statement implies. Second, DAMLs are normally used in BellSouth's
5 network only as a temporary device to secure additional pairs in highly
6 congested areas. Third, the cost study models that Ms. Caldwell used in
7 BellSouth's cost filing are based upon a forward-looking network which
8 assumes that sufficient pairs will be provisioned to meet forecasted
9 demand without the use of DAMLs or other temporary measures.
10 Therefore, DAMLs have no place in a forward-looking cost study.

11

12 Q. DOES THIS CONCLUDE YOUR REBUTTAL TESTIMONY?

13

14 A. Yes.

15

16 PC DOCS #225386

1 BY MS. WHITE:

2 Q Mr. Milner, could you please give your summary.

3 A Yes, thank you. Good afternoon, Commissioners.

4 CHAIRMAN DEASON: Excuse me, before you do that,
5 I thought Mr. Milner had direct, also.

6 MS. WHITE: I'm sorry, I don't have that on my
7 list.

8 Mr. Milner, did you have direct, as well?

9 THE WITNESS: Not in this phase.

10 MS. WHITE: I thought it was in Phase 1.

11 CHAIRMAN DEASON: Okay. Maybe that was it.

12 MS. WHITE: Phase 1, which had already been --

13 CHAIRMAN DEASON: It's just in my book and it is
14 dated May the 1st, 2000. Maybe that was a page --

15 MS. WHITE: Let me just as a matter of just
16 security --

17 BY MS. WHITE:

18 Q Mr. Milner, did you also file direct testimony
19 on May 1st, 2000 consisting of 28 pages?

20 A Yes, I did.

21 Q And do you have any changes to that testimony?

22 A No.

23 MS. WHITE: I would ask that that testimony be
24 inserted into the record as if read unless somebody knows
25 whether it has already been done.

1 CHAIRMAN DEASON: Does staff know, has that
2 testimony already been inserted?

3 MR. KNIGHT: No, it hasn't.

4 CHAIRMAN DEASON: It has not been inserted.

5 MS. WHITE: I'm sorry, I thought it had in Phase
6 1. I apologize. So I would ask that that be inserted
7 into the record, as well.

8 CHAIRMAN DEASON: Okay. Without objection show
9 the direct testimony also being inserted in the record.
10 That is a new one. We insert rebuttal before we do --

11 MS. WHITE: I know. I do apologize for that.
12 There was also one exhibit labeled WKM-1 attached to the
13 direct testimony Mr. Milner. Did you have any changes to
14 that exhibit?

15 THE WITNESS: No.

16 MS. WHITE: I would ask that that exhibit just
17 be put in with Exhibit 120 if that is acceptable.

18 CHAIRMAN DEASON: Yes, that is. And thank you
19 for everyone.

20 Mr. Lamoureux, thank you very much. Sometimes
21 the child does need the help of the parent, ex-parent.

22 MR. KNIGHT: Commissioners, his exhibit and his
23 testimony were inserted in the July hearing. That was my
24 mistake.

25 CHAIRMAN DEASON: It was inserted in the

1 previous --

2 MS. WHITE: The Phase 1?

3 MR. KNIGHT: In Phase 1.

4 CHAIRMAN DEASON: Okay. Well, just so that it
5 doesn't have to be duplicated, we will uninsert it in this
6 record.

7 MS. WHITE: Thank you very much.

8 CHAIRMAN DEASON: And Exhibit 120 will only be
9 the rebuttal exhibits.

10 MS. WHITE: Thank you.

11 BY MS. WHITE:

12 Q Mr. Milner, now would you like to give your
13 summary, please?

14 A Yes, thank you.

15 CHAIRMAN DEASON: And only summarize your
16 rebuttal, not your direct.

17 THE WITNESS: Very good, sir. I filed rebuttal
18 addressing three main areas; access to subloop elements,
19 the maintenance and provisioning capabilities of newer
20 versions of digital loop carrier equipment, and loop
21 cutover coordination procedures.

22 Turning to the first area, BellSouth offers a
23 variety of subloop elements, such as unbundled network
24 terminating wire and unbundled intrabuilding network
25 cable. The primary dispute between the parties centers

1 around the form of access that is appropriate. New
2 entrants favor direct unfettered access, while BellSouth
3 proposes that access be through a device referred to as
4 the access terminal.

5 BellSouth favors this approach because it gives
6 ALECs the subloop elements they desire, but does so
7 without reducing network reliability and security.

8 Contrary to Witness Stacy's assertion, BellSouth does not
9 seek to, by the use of the access terminal, enhance the
10 security of BellSouth's network, but rather only preserve
11 the existing level of security.

12 BellSouth does not itself benefit from the
13 placement of an access terminal. An access terminal is
14 necessary to prevent intentional or unintentional service
15 disruption caused by ALEC technicians and to ensure proper
16 recordkeeping and billing. Thus, it is appropriate that
17 requesting ALECs bear these costs.

18 Mr. Stacy suggested that the use of the access
19 terminal requires that BellSouth dispatch one of its
20 technicians each time the ALEC wants an additional
21 unbundled subloop element. However, this is also
22 incorrect. BellSouth will prewire all network terminating
23 wire pairs to the access terminal, and by terminating such
24 pairs on connector blocks inside the access terminal, the
25 need for dispatch of a BellSouth technician for those

1 prewired pairs is eliminated.

2 In the case of highrise buildings where you
3 would find a different subloop element referred to as
4 intrabuilding network cable, BellSouth will still build
5 the access terminal, but will not prewire all of the pairs
6 over to that access terminal for two reasons. First of
7 all, just the sheer quantity of pairs that are present at
8 that site, plus the likelihood of service disruption for
9 existing customers. BellSouth will still prewire
10 requested pairs over to the access terminal, again,
11 eliminating any need to dispatch a BellSouth technician at
12 the time that the ALEC provides service to its customer.

13 Next, Mr. Stacy suggested that the access
14 terminal for access to network termination wire is simply
15 unnecessary. I disagree. This Commission issued its
16 order in the recent arbitration case between BellSouth and
17 Media One in Docket 990149-TP. In its order this
18 Commission determined that unbundled network terminating
19 wire -- that the ALEC, rather, could gain access to
20 network terminating wire without reducing network
21 reliability and security by allowing Media One access to
22 the NTW via this access terminal. So clearly the access
23 terminal provides a useful function.

24 Mr. Stacy suggests that BellSouth rather than
25 the requesting ALEC should bear the cost of the access

1 terminal. The Telecommunications Act of 1996 and related
2 FCC and state commission proceedings have established that
3 BellSouth must cooperate with competitors to foster
4 competition. However, nothing in those proceedings
5 requires BellSouth to finance the competitive entry into
6 the telecommunications market or to sacrifice the network
7 reliability or security.

8 BellSouth would have no reason to construct
9 access terminals if not for the ALECs' desire to gain
10 access to BellSouth's subloop elements. Regulatory
11 authorities have clearly established that BellSouth has a
12 responsibility to safeguard its network and facilities as
13 various means of interconnection are identified.

14 The access terminal at issue here has been
15 determined to be a reasonable method of interconnection
16 which addresses ALEC needs while providing adequate
17 security. Therefore, if an ALEC desires to interconnect,
18 that ALEC should bear the cost of doing so. BellSouth
19 does not need to protect its network from its own
20 technicians. And BellSouth is entitled to recover its
21 costs for reasonable security measures as determined by
22 the FCC and by this Commission. This Commission, as I
23 noted, has already found BellSouth's proposed methods of
24 access to be reasonable and therefore subject to
25 appropriate cost recovery.

1 There is another part of this issue that deals
2 with access to subloop elements referred to as loop feeder
3 and loop distribution. And Mr. Stacy suggests that the
4 feeder distribution interface, which some refer to as the
5 cross box, provides adequate network security and that
6 BellSouth should simply give ALECs direct access.
7 BellSouth opposes direct access to this feeder
8 distribution interface for the same reasons I expressed
9 earlier. With direct access network reliability and
10 security will suffer and BellSouth would be unable to
11 maintain accurate inventory records of its own property or
12 even know when and how much to bill ALECs for their use of
13 BellSouth's assets.

14 So BellSouth proposes the same form of access to
15 unbundled loop distribution and loop feeder facilities
16 accessed at the feeder distribution interface, and that is
17 BellSouth will install its access terminal for the
18 requesting ALEC, then the ALEC will provide its own
19 terminal in proximity to that, and BellSouth will wire
20 what facilities the ALEC requests either at the time that
21 the ALEC wants to provide service to its customer or on a
22 prewired basis.

23 Ms. Kahn suggests that the use of the access
24 terminal is not competitively neutral. I do not agree.
25 The use of the access terminal strikes a reasonable

1 balance between giving ALECs the access they need while
2 still preserving the network reliability and security of
3 BellSouth's network. Next, Ms. Kahn suggests that ALECs
4 could indemnify BellSouth if bad things happened as a
5 result of ALECs having direct access.

6 However, it would be difficult, if not
7 impossible, for ALECs to indemnify BellSouth for the risk
8 to BellSouth's end users and any users -- or any end users
9 of ALECs who happen to be using unbundled loops or
10 unbundled subloops acquired from BellSouth. Further, it
11 causes me concern that her entire testimony on the issue
12 of indemnification to BellSouth for any adverse
13 consequences resulting from ALECs having direct access
14 consists of a simple statement, "In principle we could
15 support such a notion," end of quote.

16 Let me turn to the second area addressed by my
17 testimony, and that is the use of digital loop carrier or
18 DLC equipment. Ms. Murray suggests that BellSouth's lack
19 of operation system -- support systems to fully support
20 next generation digital loop carrier systems should negate
21 the recovery of any costs associated with any manual
22 processes.

23 My understanding is that her statement refers to
24 BellSouth's provisioning and maintenance systems in the
25 context of next generation DLC, and while NGDLC offers

1 some advantages in the provisioning and maintenance
2 processes, NGDLC by itself will never eliminate the need
3 to dispatch technicians in any number of different
4 scenarios.

5 Any attempt to portray NGDLC as a mechanism by
6 which BellSouth can provision and maintain its network
7 simply by the touch of a button is completely unrealistic.
8 BellSouth continually explore ways to enhance its systems.
9 It meets with vendors, it reads technical literature, but
10 at present BellSouth has not identified any system
11 enhancements beyond those it already has in place.

12 At any time in the future as any enhancements
13 are determined to be cost-effective they will be
14 incorporated into BellSouth's testing architecture for
15 testing and provisioning of the services we provide. And
16 that will benefit both BellSouth and ALECs. However, in
17 order for BellSouth to deploy next generation digital loop
18 carrier and enjoy the benefits in the manner contemplated
19 by some ALECs, it would be necessary for BellSouth to
20 build loop distribution and loop feeder plant to each and
21 every single customer and keep that plant dedicated
22 full-time. Such a scenario will be cost prohibitive and,
23 therefore, is unlikely to exist any time soon.

24 The last area addressed by my testimony responds
25 to complaints that various nonrecurring costs contain

1 undue amounts of coordination time for work operations in
2 BellSouth's unbundled network element center and work
3 management center. I believe the sheer number of issues
4 in this docket and the volumes of documentation that have
5 been submitted around these issues clearly indicates that
6 provisioning service in modern day telecommunications is
7 clearly a complicated process.

8 Extremely close coordination is necessary to
9 ensure that the multitude of the various work steps that
10 are required are completed in a timely fashion, and proper
11 coordination is essential. The two work centers that have
12 been named by CLECs as examples of -- are good examples of
13 the nature of that coordination work.

14 The unbundled network element center, for
15 example, is that center responsible for coordinating the
16 conversion of an end user service from BellSouth to an
17 ALEC. Obviously such coordination involves various work
18 groups internal to BellSouth as well as within the ALEC.

19 The work management center, or WMC, you may hear
20 the phrase, preassigns work to BellSouth technicians in
21 order to ensure that technicians are there at the right
22 time and place such that conversions will be completed as
23 ordered.

24 Several ALECs suggested that BellSouth should
25 have a system which could electronically switch end users

1 from a BellSouth switch to an ALEC switch without any
2 physical work thus eliminating a cost factor. However,
3 such a proposal is not realistic. I am not aware of any
4 such system anywhere in the telecommunications industry
5 that could perform such a task either at present or on a
6 forward-looking basis. To the contrary, the loop cutover
7 process for facilities-based ALECs is complex and is work
8 intensive.

9 In my testimony I provided an exhibit containing
10 14 photographs of that part of the loop cutover process
11 done within the BellSouth central office. Loop cutovers
12 require high levels of coordination between BellSouth and
13 the ALEC to which the unbundled loop is being provided.

14 Clearly, BellSouth's costs involved in
15 performing such cutovers are legitimate, should
16 appropriately be recovered in BellSouth's UNE rates, and
17 should not be summarily dismissed because of the
18 possibility of some nonexistent future system.

19 Thank you, that concludes my summary.

20 MS. WHITE: Mr. Milner is available for
21 cross-examination.

22 CHAIRMAN DEASON: Mr. Melson.

23 CROSS EXAMINATION

24 BY MR. MELSON:

25 Q Mr. Milner, Rick Melson representing WorldCom

1 and Rhythms. I've got actually just a few questions for
2 you this afternoon. Just so we are all clear on
3 terminology, NGDLC is next generation digital loop
4 carrier?

5 A Yes, sir.

6 Q And Alcatel and Marconi are two suppliers of
7 NGDLC systems, is that correct?

8 A That's right. There are two manufacturers.

9 Q And a channel unit, is that also referred to as
10 a plug-in card?

11 A Well, the term channel unit is a rather generic
12 sort of phrase. It may mean a number of different things.
13 It may mean a plug-in card to various types of systems.
14 It may accommodate a single line, in other cases it's may
15 provide as many as 24 different lines in one thing that we
16 call a channel unit. So it really depends.

17 Q A channel unit basically is a unit that goes
18 into a channel bank assembly and is used in a DLC system,
19 or a next generation DLC system as the basis to do an
20 analog-to-digital conversion and then transmit the digital
21 signal back over fiber to the central office, is that
22 correct?

23 A I understand. The function you are describing,
24 in my vocabulary I would call that a line card rather than
25 a channel unit, but I understand what you mean.

1 Q Okay. And would you agree with me that in some
2 cases different types of line cards are required to
3 provide -- to support different types of services?

4 A Yes, sir.

5 Q I'm going to hand out what I believe is a
6 proprietary document, and I am going to ask you to focus
7 on just a few pages, a few passages in this document that
8 I've got highlighted. And as we go through, I am going to
9 make the assumption that what is highlighted is
10 proprietary unless you tell me to the contrary. I assume
11 it is not proprietary to identify the document by subject
12 and date?

13 A No, I wouldn't call it --

14 Q Okay. This is a document, subject ADSL planning
15 directives, dated February 14th, 2000?

16 A That is correct.

17 MR. MELSON: Mr. Chairman, could I have that
18 identified as the next numbered exhibit.

19 CHAIRMAN DEASON: 121.

20 MR. MELSON: And that would be confidential.

21 (Exhibit Number 121 marked for identification.)

22 BY MR. MELSON:

23 Q Mr. Milner, could you read to yourself the
24 couple of sentences that are highlighted on the cover
25 sheet and tell me if the content of that highlighted

1 passage is confidential?

2 A I would consider the first sentence to be
3 proprietary because it names the magnitude of the scope of
4 the work that is going to be done here. The rest of the
5 parts that are highlighted I would not consider to be.

6 Q Okay. So essentially this portion says that
7 rapid ADSL deployment will be required over the next few
8 years and then indicates a general order of magnitude?

9 A Yes, sir.

10 Q All right. Could you turn to numbered Page 1,
11 which is physical Page 3 of the document and read the
12 sentence that is highlighted in the executive summary to
13 yourself, please.

14 A Okay. I have read that.

15 Q Do you regard that as confidential?

16 A No, sir.

17 Q And essentially, if I understand it correctly,
18 then that sentence says that by mid-2001 next generation
19 digital loop carrier systems with ADSL channel units are
20 expected to be available for deployment. Can you tell me
21 what an ADSL channel unit is just in generic terms?

22 A Well, I believe he is referring to that thing
23 that I would refer to as a line card again. But a line
24 card that can accommodate ADSL service being provided at
25 least in part by a next generation digital loop carrier

1 system.

2 Q And would that be what we referred -- well, you
3 weren't here yesterday when I was talking with Ms.
4 Caldwell. Would it be fair to characterize that as DSL
5 over DLC, DSL carried over a DLC system?

6 A Yes.

7 Q On the bottom of Page 2 there is a bullet
8 highlighted. Do you regard that as confidential?

9 A It is not proprietary to BellSouth. It may be
10 to those two companies, but not to BellSouth.

11 Q All right. Well, let me ask you then, that
12 simply indicates the source of the vendors who would
13 provide or expected to have the ADSL compatible cards?

14 A Yes, sir.

15 Q And, finally, would you turn to page numbered
16 13, and there is a paragraph highlighted there. Could you
17 read that and tell me if there is anything proprietary in
18 that paragraph?

19 A Yes, sir, I believe this would be proprietary
20 for two reasons.

21 Q Okay. Let me ask you if you can characterize
22 that paragraph in a nonproprietary way?

23 A Okay. First of all, again, the two
24 manufacturers that are named there, this document by the
25 way was produced by BellSouth's Science and Technologies

1 Group. So I'm not sure exactly of how -- what the
2 proprietary nature of the exchange of information between
3 these manufacturers about their products and our Science
4 and Technologies Group was. The part that is proprietary
5 to BellSouth is that it indicates the nature and timing of
6 BellSouth's own deployment plans for ADSL services.

7 Q All right. Is it fair to say then in a
8 nonproprietary manner that this sets out the timetable in
9 which DSL over DLC will be available to be deployed, and
10 that given that deployment date it describes a transition
11 mechanism?

12 A Yes.

13 MR. MELSON: That was all I had. Thank you.
14 Mr. Milner.

15 CHAIRMAN DEASON: Mr. Lamoureux.

16 CROSS EXAMINATION

17 BY MR. LAMOUREUX:

18 Q Good evening, Mr. Milner. I think it should
19 come as no surprise that I want to talk to you a little
20 about network terminating wire and intrabuilding network
21 cable.

22 A I would be disappointed otherwise.

23 Q Would you agree with me that NTW and INC are
24 required subloop elements that BellSouth must provide
25 under the FCC's UNE remand order?

1 A Yes, sir.

2 Q And in its UNE remand order in the section on
3 subloop unbundling, would you agree that the FCC
4 specifically said that it was trying to provide ALECs
5 maximum flexibility to interconnect with ILECs at
6 technically feasible points in order to allow competitors
7 to serve customers efficiently?

8 A I don't recall the exact quote. You use the
9 word maximum. I don't recall if that word was in there or
10 not. But that was the general intent, I will agree with
11 you there.

12 Q Okay. This is the order.

13 A Thank you.

14 Q I just handed you a copy of the UNE remand
15 order. In particular if you would look at both Paragraph
16 207 and 223 of that order, would you agree that both of
17 those paragraphs are in the section dealing with subloop
18 unbundling and they both talk about providing ALECs
19 maximum flexibility to interconnect with the ILEC?

20 A Yes, they both say that.

21 Q Would you also agree with me that in that same
22 order in the provisions dealing with subloop unbundling,
23 the FCC required the establishment of a single point of
24 interconnection that is fully accessible and suitable for
25 use by multiple carriers to gain access to these things we

1 call multiple dwelling units?

2 A Yes, sir.

3 Q Now, you mentioned the Florida order in the
4 Media One/BellSouth arbitration. Do you agree with me
5 that that order came out before the FCC's UNE remand
6 order?

7 A Yes, it did.

8 Q You discussed in your summary that the issue, a
9 good chunk of the issue on NTW and INC turns really on the
10 manner in which ALECs want to gain access to NTW and INC
11 and the manner in which BellSouth desires to provide that
12 access, is that correct?

13 A Yes. And to expand that just a little bit
14 further, to determine what means are technically feasible
15 to accomplish that access.

16 Q Okay. What I would like to do if I could is
17 draw out in very simplistic terms because of my limited
18 artistic ability exactly the type of access that we are
19 talking about in the couple of different situations that
20 we are talking about.

21 A Okay.

22 Q And I know you have exhibits behind your direct
23 testimony that do this, and essentially I am going to try
24 and draw just a little more simply what you have behind
25 your exhibit in your direct testimony.

1 A That's fine.

2 Q And what I would like to talk about first is in
3 your garden apartment type situation. And what we are
4 talking about there is a situation where you may have a
5 complex of various different apartments on a big property
6 that you want to try and gain access to the individual
7 tenant units in those apartment buildings. Generally
8 about right?

9 A Yes. And usually they are no more than -- in
10 most cases two stories, sometimes three, but most often
11 either one or two stories.

12 Q And I think what you mentioned is that typically
13 in that situation, and what I have drawn here is three
14 apartment units in an apartment complex. Typically what
15 you will have is somewhere outside of that complex there
16 is a garden terminal where the BellSouth network which is,
17 I guess, the access point where the BellSouth network then
18 connects via network terminating wire to the individual
19 apartment units?

20 A That's close. You said somewhere outside the
21 complex. I presume you mean Apartments A, B, and C are in
22 the same building. So that device that you have drawn in
23 the box in the bottom left would be outside that one
24 building, not outside the complex.

25 Q If I drive up to the parking lot of the building

1 at these three apartments, then I will usually pull up to
2 the curb and there will be a green pedestal there that is
3 the garden terminal that connects to these three --

4 A That's right. You will either see that on a
5 pedestal behind some shrubbery or you will see it on the
6 end of the building on an outside wall.

7 Q And I think we all agree that it is that garden
8 terminal that is the access point at which in one way or
9 another ALECs will gain access to the network terminating
10 wire that goes to these three apartments, is that right?

11 A No, that is the manner in which BellSouth will
12 gain access to the wire running from that garden terminal
13 to each of those apartments.

14 Q Okay. I'm sorry.

15 A And I was about to suggest that you draw another
16 line that you just did that leaves that bottom box, and
17 that is the BellSouth outside plant facilities that would
18 run back to its central office.

19 Q Okay. Well, BellSouth's network -- and I guess
20 I should draw down here, when you talked about the cross
21 box, that will be somewhere further out on the property,
22 typically back here?

23 A That's right. It may be at the edge of the
24 property or it may be off the complex.

25 Q Okay. And all I want to get at is the manner in

1 which BellSouth will require ALECs to gain access to this
2 network terminating wire at this garden terminal is
3 BellSouth proposes to construct this access terminal which
4 will then be in between the ALEC's terminal and the
5 BellSouth garden terminal, is that right?

6 A That's correct.

7 Q And what BellSouth is proposing is that it is
8 going to prewire all the connections between its garden
9 terminal and the access terminal and then when the ALEC
10 want to buy a network terminating wire to serve one of the
11 tenants, it just hooks up to the access terminal to gain
12 access to the pair necessary to serve the particular
13 tenant?

14 A That is exactly right. I might point out
15 between that box that we call the garden terminal and each
16 of those apartments may be some number of pairs, two,
17 three, as many as six perhaps. And our proposal is
18 that -- well, let's say that there is four pairs to each
19 apartment and that there are 25 apartments in each
20 building, so there is 100 pairs there. Those 100 pairs
21 could be accessed either by BellSouth, those same 100
22 pairs would be wired over to that access terminals for use
23 by the ALEC.

24 Q Well, that was my next question. Will BellSouth
25 prewire all available pairs to this access terminal so

1 that the ALEC will have access to all available pairs in
2 the apartment building to serve any of the tenants in that
3 building?

4 A Yes, sir.

5 Q Okay. Now, when we talked about this
6 arrangement in one of our depositions, you described the
7 connection between the garden terminal and the access
8 terminal, you called it bridging at some point. When you
9 use that phrase to describe the connection between these
10 two boxes, did you mean bridging as in when BellSouth
11 designs bridged tap or is there some other type of
12 connection that you were describing?

13 A No. In fact, maybe that was unfortunate choice
14 of phrases on my behalf. But I just meant simply the
15 extension of those network terminating pairs such that
16 they had two different appearances. By bridging I meant
17 to imply that some of those circuits will already be in
18 use, that is some of those 100 pairs in my hypothetical
19 would be providing service to BellSouth's end users and
20 that extending them or bridging them had to be done very
21 carefully so as not to disrupt that service.

22 Q Now, let's assume that more than one ALEC wants
23 to try and serve the tenants in that building. What would
24 happen is that presumably those other ALECs would build
25 their own terminals and each one of those ALECs would then

1 connect up to this access terminal in order to gain access
2 to the NTW to the apartment building, is that right?

3 A Well, that's close. In this Commission's order
4 in the Media One case it indicated that each ALEC should
5 have its own access terminal, so you might have to
6 replicate that box, as well. However, if it is acceptable
7 to the Commission, we don't mind -- BellSouth does not
8 mind the sharing of the access terminal among various
9 ALECs. So in that case if the Commission agrees, then it
10 could be as you have drawn here, and that is subsequent
11 ALECs providing their own terminal, they would bring their
12 own facilities into that complex, would have their own
13 cables or whatever mode of transport they have, would
14 install their own terminal and then would gain access to
15 the wire inside that access terminal as Mr. Lamoureux has
16 shown.

17 Q Well, for the purposes of the cost study in this
18 proceeding what BellSouth has assumed is that there is a
19 single access terminal that all ALECs connect up to to
20 gain access to the NTW, is that right?

21 A Yes, that is right.

22 Q And in that situation there would be multiple
23 ALECs connecting and perhaps at some later time
24 disconnecting into and out of that access terminal, is
25 that right?

1 A Yes, unless an ALEC wanted its own access
2 terminal, which we would then provide. In other words, if
3 AT&T said I don't want my facilities being terminated into
4 an access terminal that is shared by other ALECs,
5 BellSouth, would you provide me my own, well, we are happy
6 to do that.

7 Q But for cost purposes, the way the cost study
8 was developed is it assumes the -- I forget the numbers.
9 The 46 cents and the \$65 recurring and nonrecurring
10 charges for a network terminating wire assume this single
11 access terminal set up?

12 A You are correct.

13 Q Okay. And, in any event, in no case will
14 BellSouth ever have to go through the access terminal to
15 gain access to any of the tenants in that building, right?

16 A That's correct.

17 Q And instead BellSouth is still going to continue
18 to access the tenants through that garden terminal that it
19 has on the property somewhere?

20 A Yes.

21 Q So the access terminal that we are talking about
22 here is a point of access for the ALECs only, correct?

23 A That is right, yes. In my view it is those
24 multiple carriers that the FCC was referring to.

25 Q And the access terminal is not a single point of

1 interconnection for all carriers, it is a single point of
2 interconnection only for the ALECs, but not for BellSouth,
3 correct?

4 A Well, let me answer two ways. First of all, you
5 are right, BellSouth does not provide its own service to
6 its end users through the access terminal, it provides
7 that device instead to give access to ALECs to BellSouth's
8 assets. Whether or not this is the so-called single point
9 of interconnection or not envisioned by the FCC really
10 depends on one's view of what SPOE means, specifically the
11 word single. In the case we have been talking about here
12 is one garden terminal that serves one apartment building.
13 There may be, let's say, 30 buildings in that apartment
14 complex.

15 If would you like to call this the single point
16 of interconnection for access to that building, I'm fine
17 with the use of that phrase. However, interconnecting an
18 ALEC's facilities at that point does not give it access to
19 the facilities to the other 29 buildings. If that was
20 what was meant by single point of interconnection, then if
21 you drop down to that next lower box in the bottom left
22 corner of your drawing, then we would be happy to provide
23 a single point of interconnection there which would give
24 you access to all of that network terminating wire in any
25 of the 30 buildings. So just trying to keep us free of

1 semantic difficulties here.

2 Q Excuse me, I'm sorry. For my question I want to
3 limit it only to access to these three buildings, okay,
4 which connect up to this garden terminal?

5 A Well, I think you mean apartments not buildings.

6 Q I'm sorry.

7 A But, yes.

8 Q It's late, I'm tired. I want to talk about
9 these three apartment units in this building, okay?

10 A Okay.

11 Q And gaining access to those three apartments via
12 the network terminating wire that goes to those
13 apartments, okay?

14 A Right.

15 Q Would you agree with me that no matter what, the
16 definition of single cannot be two?

17 A Well, I'm not a math major, but it certainly
18 sounds plausible, yes.

19 Q Okay. In my situation here there is not a
20 single point of interconnection for the network
21 terminating wire to those three apartments, there are two.
22 There is one for BellSouth and then there is one for all
23 other ALECs?

24 A That is true, but I'm not -- I don't agree with
25 your notion that the FCC meant that the single point of

1 interconnection had to be used by all local exchange
2 carriers. I believe it said by multiple local exchange
3 carriers, and this arrangement allows that. It allows as
4 many ALECs as are willing to share that access terminal
5 access to BellSouth's unbundled elements.

6 Q Would you turn to Paragraph 226 of the UNE
7 remand order there? Didn't the FCC say that a single
8 point of interconnection would have to be established that
9 is fully accessible and suitable for use by multiple
10 carriers to gain access to multi-dwelling units?

11 A I'm sorry, did you say Paragraph 226?

12 Q I did. I hope that is the right paragraph.

13 A Okay, sure. Yes, you quoted it well. Let me
14 just read it. "We require the incumbent to construct a
15 single point of interconnection that will be fully
16 accessible and suitable for use by multiple carriers."
17 And, you know, that is what our proposal does. It is
18 footnoted with Footnote 442, and that footnote reads, "The
19 incumbent is obligated to construct the single point of
20 interconnection whether or not it controls the wiring on
21 the customer premises."

22 So I think in the footnote the FCC has drawn a
23 distinction between the incumbent and those multiple
24 carriers that it references in Paragraph 226.

25 Q Actually isn't the footnote drawing a

1 distinction between the wire that the incumbent controls
2 and the wire that the incumbent does not control?

3 A No. Well, yes, that is the subject of Footnote
4 442, but it uses the word incumbent, I think, to show what
5 our obligation is to provide these things, not necessarily
6 to use them.

7 Q But in Paragraph 226 the sentence that we are
8 talking about there, it doesn't say multiple competing
9 carriers, or multiple CLECs, it just says multiple
10 carriers, correct?

11 A That is the words, and you and I disagree
12 perhaps about the intent of that, but I think if the FCC
13 had intended that that be an identical form of access they
14 could very easily have said that it was suitable for use
15 by the incumbent LEC and any competing companies. It did
16 not say that.

17 Q Do you believe that making the ALECs gain access
18 to the garden terminal by virtue of an access terminal in
19 between their terminal and the garden terminal is the
20 manner of interconnection that provides maximum
21 flexibility?

22 A Yes, I do. The FCC's First Report and Order in
23 August of 1996 talked at length about what was technically
24 feasible and how you could tell if something was not, and
25 it specifically said those things that reduced network

1 reliability and security were of their nature not
2 technically feasible. We think and think this Commission
3 has found that this very arrangement is technically
4 feasible and it allows maximal use of the network
5 terminating wire because we provide each and everyone of
6 those pairs over to that device. We prewire such that all
7 100 in my example are available to every CLEC that wants
8 to bring its facilities onto the property. I view that as
9 maximal use of those facilities.

10 Q I didn't ask you anything about technical
11 feasibility, and we will talk about that in a little bit.
12 What I talked about was flexibility. Wouldn't you agree
13 with me that it would provide much greater flexibility to
14 allow the ALECs to connect directly to the garden terminal
15 than requiring them to go through this intermediary access
16 terminal?

17 A No, sir, I would not agree with that. Because
18 any form of interconnection must or is subject to a
19 finding that it is technically feasible. And that is what
20 I was trying to explain with what the FCC had said about
21 that. Any form of interconnection, not just this form,
22 but any form of interconnection or access to unbundled
23 network elements the FCC says should be done or is
24 required once there is a finding that it is technically
25 feasible. The manner that you are describing of direct

1 access was, in fact, proposed by Media One and found to be
2 not technically feasible.

3 Q I'm not asking you any questions about technical
4 feasibility. What I am going ask you to assume, assume
5 with me, hypothetically, that direct connection to the
6 garden terminal is just as technically feasible as
7 connecting via this intermediary terminal, okay? Given
8 that, wouldn't you agree with me that it would be much
9 more flexible to allow the ALECs to direct connect rather
10 than to make them go through the access terminal?

11 A I can't answer that question because I don't
12 agree with your predicate that that is technically
13 feasible.

14 COMMISSIONER JABER: Mr. Milner, what
15 flexibility or what access does the ALEC get using the
16 garden terminal that they can't get using the access
17 terminal?

18 THE WITNESS: Okay. They get a couple of
19 things. They get a very clear demarcation point, that is
20 the access terminal, of where the ALEC's network ends and
21 where BellSouth network begins. And that same delineation
22 shows who is responsible for fixing things if they break
23 on either side of that. To the extent that an ALEC wants
24 its own --

25 CHAIRMAN DEASON: I'm sorry, stop just one

1 second. If something goes wrong in the access terminal
2 who fixes that?

3 THE WITNESS: Well, let me give you a couple of
4 different examples, because it depends. The ALEC will be
5 making its on cross-connections within that. So if
6 something goes wrong in that access terminal then the ALEC
7 would be responsible for fixing that.

8 If there is vandalism, or lightning strikes it,
9 or whatever, then it is BellSouth's responsibility to
10 replace or repair the access terminal. But the
11 cross-connections within that would generally be placed by
12 the ALEC rather than BellSouth.

13 COMMISSIONER JABER: So if BellSouth allowed
14 direct access to the garden terminal, why is it difficult
15 to know where the responsibility would be for breakage if
16 the breakage or the vandalism -- well, breakage occurs
17 during a certain time?

18 THE WITNESS: Okay. The reason that this makes
19 it more clear is that it becomes very clear whose
20 technicians were working in a given terminal. For
21 example, under BellSouth's proposal only BellSouth
22 technicians would work in the garden terminal. We would
23 not be doing work in the ALEC's terminal, and likewise
24 they would be working in theirs, but not ours. If bad
25 things happened it would be, you know, clear whose

1 technicians had been in there. Second --

2 COMMISSIONER JABER: Could that concern be fixed
3 through reporting mechanisms, requirements to report who
4 was on duty and who was doing what?

5 THE WITNESS: Well, that is possible, but
6 probably not practical because these are -- these are not
7 very sophisticated devices. These are little metal boxes
8 with cross -- you know, where physical cross-connections
9 are placed within them. So there is not a -- you know,
10 you might imagine much more sophisticated situations where
11 you would have a card swiper or something like that so you
12 would know who was there and who was not. There are
13 literally thousands, probably hundreds of thousands of
14 these across BellSouth's nine state region. It would be
15 an incredible job of trying to keep track of who was doing
16 work in those. And for reason that is why they are
17 secured.

18 CHAIRMAN DEASON: Well, Mr. Milner, if they are
19 fairly simple in the sense of their technology, just a box
20 where wires are connected --

21 THE WITNESS: Yes, sir.

22 CHAIRMAN DEASON: -- why is it such a security
23 risk to have ALECs access to your terminal, your garden
24 terminal?

25 THE WITNESS: For two reasons. One, you have to

1 keep track of what is working, what is fair, what is
2 defective perhaps, so everybody has to ascribe to the same
3 practices. These devices are small physically, and it is
4 possible to, you know, unintentionally disrupt service to
5 a customer that is not even involved.

6 In other words, the ALEC's technician could
7 inadvertently disrupt the service to a BellSouth customer
8 or someone else's customer. To the point of
9 recordkeeping, with direct access --

10 CHAIRMAN DEASON: I'm sorry, I hate to
11 interrupt, but I better ask the questions while I'm
12 thinking of them or I will forget them.

13 THE WITNESS: Certainly.

14 CHAIRMAN DEASON: If that is the case, is it
15 possible then that a BellSouth technician doing work
16 within the garden terminal, legitimate work for one of
17 their customers, can inadvertently do something in the
18 garden terminal that disrupts service through the
19 connection with the access terminal that affects a CLEC
20 customer?

21 THE WITNESS: That is possible. But a much more
22 remote possibility in that the BellSouth technician is
23 only going to be working in that one box, and not working
24 directly with the ALEC's property and the ALEC's
25 facilities. So, yes, there is always a risk as long as

1 humans are involved in the process of inadvertent things
2 happening. But we think this mitigates that risk to a
3 greater degree by making it very clear who was doing work
4 in what device.

5 COMMISSIONER JABER: And in that regard then the
6 only advantage of having the access terminal is an
7 advantage that BellSouth enjoys because of security
8 reasons?

9 THE WITNESS: No, ma'am. Recall that other
10 ALECs take the entire unbundled loop from BellSouth, so
11 some of these 100 pairs are unbundled loops for other
12 ALECs. So it is not only securing BellSouth's use of its
13 own facilities for its own end users, it is securing
14 BellSouth's loops that may be provided on an unbundled
15 basis to other ALECs. So it is an advantage to them, as
16 well.

17 Third, it is an advantage even to those ALECs
18 who have decided to be facility-based competitors here in
19 that it minimizes the number of technicians that are
20 working on the same device.

21 COMMISSIONER JABER: And that is correct if they
22 choose to have separate -- or if they choose to have the
23 same access terminal?

24 THE WITNESS: Yes, ma'am.

25 COMMISSIONER JABER: So come back to my original

1 question, then. What advantage is there or flexibility is
2 there for the ALEC to have direct access to the garden
3 terminal?

4 THE WITNESS: Well, in terms of flexibility, not
5 so such advantage except as we have talked about here.
6 But there are advantages that I have mentioned in terms of
7 reliability that would accrue to them. The other point
8 that I was going to make was --

9 COMMISSIONER JABER: There is an advantage with
10 respect to reliability? The system is more reliable if
11 the ALEC has direct access to the garden terminal?

12 THE WITNESS: No, ma'am. If I said that I
13 didn't mean to. I mean that with the use of the access
14 terminal there is greater reliability in the overall
15 network; not only BellSouth's, but the ALEC's, as well.

16 The second point I was going to make is that the
17 access terminal provides a pretty straightforward way to
18 determine who is making use of BellSouth's facilities on
19 an unbundled basis. If all ALECs can simply bring their
20 own facilities into the garden terminal when they want to
21 and where they want to, there is no mechanism by which the
22 ALEC is required to tell BellSouth, oh, by the way, I used
23 two of your network terminating wire pairs yesterday.
24 And, further, there is no way for an ALEC to know before
25 they get their technician out there whether there is even

1 spare facilities or not.

2 COMMISSIONER JABER: So if the ALEC is sharing
3 the access terminal then how can you tell which ALEC is
4 using what?

5 THE WITNESS: Because they would buy -- they
6 would report to us how many pairs they wanted. In other
7 words, they would order a certain number of network
8 terminating wire pairs which we would then reserve for
9 their exclusive use and another ALEC could not use those.

10 CHAIRMAN DEASON: I'm sorry, how do you know --
11 if they have got access to the access terminal and they
12 can come and go and they can go within that box and
13 reconfigure however they see fit, how do you know when
14 they make a connection or when they make a disconnection?

15 THE WITNESS: Well, we rely on them to tell us
16 that. However, if we were out there we could tell
17 visually how many pairs were in use. If we understood
18 that no ALEC was using our facilities and yet we saw all
19 these cross-connections there, we would know that at least
20 one was and we would try to find out who.

21 CHAIRMAN DEASON: I mean, do you realistically
22 expect to send technicians out to routinely go into the
23 access terminal and count the numbers that have been
24 connected and then somehow verify with the central office
25 or somewhere else, central recordkeeping, the number of

1 access points that have been purchased by ALECs?

2 THE WITNESS: No, we wouldn't do that just for
3 that purpose. But our technicians are often at these
4 properties anyway installing our own service. In the
5 State of Georgia the Commission required that Media One
6 and BellSouth work out a procedure by which Media One in
7 this arrangement could or would inform BellSouth of what
8 pairs it was using such that BellSouth could bill it
9 appropriately.

10 COMMISSIONER JABER: And if you are just relying
11 on them in the access terminal to tell you what they are
12 using, why couldn't you rely on them in a garden terminal
13 to tell you what they need?

14 THE WITNESS: Well, then you are back to the
15 first issue. It solves the recordkeeping part, but does
16 not solve the network reliability problem.

17 COMMISSIONER JABER: The network reliability
18 problem that there would be by using the garden terminal?

19 THE WITNESS: Yes, ma'am. Of having multiple
20 ALECs all working in that one device.

21 BY MR. LAMOUREUX:

22 Q Mr. Varner, it's not your testimony that ALEC
23 technicians are in some -- what did I say?

24 MS. WHITE: Varner.

25 Q Force of habit. I'm sorry.

1 A You owe one of us \$10.00.

2 Q I'll let you decide who.

3 It is not your testimony that ALEC technicians
4 are in any way less competent or more prone to making
5 mistakes and causing service disruptions, is it?

6 A No, I am not suggesting that. I am very aware
7 of the training that BellSouth puts its own technicians
8 through. I am unaware of what, if any, training ALECs put
9 their own technicians through.

10 Q Now, if you believe it is such an advantage to
11 ALECs to go through this situation of having to connect
12 through an intermediary access terminal, why do you
13 suppose the ALECs are requesting direct connection to the
14 garden terminal?

15 A I'm sorry, I didn't --

16 Q Well, your answer to one of the Commissioners,
17 and frankly I forget which one, you mentioned that you
18 believe it is an advantage to ALECs to have to go through
19 this access terminal. If that is the case, why do you
20 suppose the ALECs are requesting direct access to the
21 garden terminal itself?

22 A Well, I was suggesting that some ALECs may
23 prefer to have their own access terminal so they would
24 know the connections between their own networks and
25 BellSouth's, and that they would want that to be a device

1 other than the one access potentially by many different
2 ALECs with varying work skills.

3 Q Are you aware of any ALECs -- I'm sorry.

4 COMMISSIONER JACOBS: Did I understand you to
5 say that you plan the available capacity in the access
6 terminal?

7 THE WITNESS: Yes, sir.

8 COMMISSIONER JACOBS: So does an ALEC have to
9 come to you before it can determine whether or not
10 capacity is available there?

11 THE WITNESS: Yes, they would. In other words,
12 recall that we take all the capacity from BellSouth's
13 garden terminal and extend that over to the access
14 terminal. So when we plan for our own needs, we are
15 making all of that capacity available to the ALEC at the
16 same time.

17 COMMISSIONER JACOBS: My point being if an ALEC
18 were considering extending or deploying service in this
19 complex, before they can actually go and even market they
20 have to come to you and make a technical planning decision
21 as to whether or not your capacity is available for them
22 in that building?

23 THE WITNESS: Yes. And not only just the
24 capacity in terms of numbers, their business plans would
25 also contemplate, I would think, what facilities we have

1 there, what kind of facilities. If they needed a certain
2 type of facility we may or may not have it in our own
3 network.

4 COMMISSIONER JACOBS: Now, will there be similar
5 capacity in the access terminal as in the garden terminal?

6 THE WITNESS: Yes, sir. It is exactly the same
7 capacity.

8 COMMISSIONER JACOBS: Exactly the same. You are
9 just extending it. Everything that is available in the
10 garden terminal you just extended it out to the access?

11 THE WITNESS: You are exactly right.

12 COMMISSIONER JACOBS: Okay.

13 BY MR. LAMOUREUX:

14 Q Now, BellSouth obviously owns the garden
15 terminal, right?

16 A Yes, sir.

17 Q BellSouth is also going to install, deploy, and
18 own the access terminal, correct?

19 A That's right.

20 Q So whether the ALEC interconnects at the access
21 terminal or at the garden terminal, its demarcation
22 between its network and the BellSouth network is always
23 going to be on the other side of a BellSouth terminal,
24 correct?

25 A No, sir, it is going to be in the middle of that

1 access terminal.

2 Q Well, and that situation would also be the same
3 if it direct connects into the garden terminal, correct?

4 A No, because what I would imagine is that what
5 you are suggesting by direct access into the garden
6 terminal would be to install some other cross-connection
7 block inside that which would then be the demarcation
8 point.

9 Q Well, whether the ALEC is going to an access
10 terminal or skipping the access terminal and going from
11 its terminal to the garden terminal, it is connecting up
12 to a BellSouth terminal, is it not?

13 A Yes, that part is true. But, again, what we
14 think is a more appropriate means is to keep that as
15 separate as we can for reasons of reliability.

16 Q But with respect to knowing where the ALEC's
17 network ends and the BellSouth network begins, it is
18 always going to know that because it is always going to be
19 on the other side of a terminal?

20 A Well, if you were to -- let me -- not very
21 easily, or not as easily. The garden terminal itself is
22 probably about eight inches wide and maybe a foot and a
23 half long. So physically it is a pretty small device. If
24 you look inside there you are just going to see a lot of
25 wires being punched down on these little connector blocks,

1 so it is not going to be obvious as to whose facilities
2 are punched down where if every ALEC is working inside
3 that one terminal as it would be with BellSouth's
4 facilities, as you have drawn it, to the left side of the
5 access terminal and the ALEC's facilities coming to the
6 right side of that same box.

7 Q Of course, if all the ALECs are connecting up to
8 the access terminal one ALEC is going to have just that
9 same difficulty trying to figure out which other ALECs
10 have connected up to the pairs in that terminal as well,
11 is it not?

12 A Not really. Because the left side of that
13 little box is the facility -- would be the connector block
14 that goes over to the BellSouth garden terminal. So the
15 ALEC would be able to tell which pairs were free in that
16 tie cable as we call it between the access terminal and
17 the garden terminal and which ones were available.

18 Q And that situation would also exist at the
19 garden terminal, would it not, because the ALEC would be
20 able to look in the garden terminal and be able to see
21 which pairs were free, which pairs were spare, and which
22 pairs were in use, correct?

23 A Not as readily, no.

24 Q Whether you interconnect at the access terminal
25 or the garden terminal, an ALEC is still going to have to

1 submit an order for the network terminating wire that it
2 wants to purchase, right?

3 A That's right, yes.

4 Q So, the means of connection is not going to
5 change the need for the ALEC to submit an order to
6 BellSouth to be able to purchase the pairs going to the
7 apartment complex?

8 A No. The issue is not one of ordering. It is
9 one of network reliability, it is one of maintaining
10 accurate inventories.

11 Q But in terms of maintaining an accurate
12 inventory, you will know by the submission of an order
13 that an ALEC has submitted a request to purchase pairs to
14 serve an apartment building regardless of the means of
15 connection down here?

16 A To the extent that the -- to the extent that the
17 ALEC passes orders to us and does not just appropriate
18 network terminating wire pairs without our knowledge.

19 Q Are you aware of any ALEC, Mr. Milner, in this
20 or any other proceeding that has requested from BellSouth
21 that it can appropriate network terminating wire from
22 BellSouth without having to submit an order for it?

23 A Yes, sir, I am. Not in Florida, but I am in
24 several other states.

25 Q Has AT&T or Media One made that request of

1 BellSouth?

2 A No.

3 Q I want to talk a little bit about how this
4 technical arrangement feeds up to the cost. There is a
5 \$65 nonrecurring charge associated with network
6 terminating wire, which as I understand it for the
7 instance of network terminating wire includes the cost of
8 the access terminal, is that correct?

9 A First of all, I'm sure you know that I'm not the
10 cost expert on how the prices were arrived at, and I have
11 not seen that price list lately. But that sounds about
12 right.

13 Q Well, let me ask you to assume the \$65.
14 Ms. Caldwell deferred to you the question of how the costs
15 are developed based on the technology that is involved.

16 A Okay.

17 Q And what I'm trying to find out is the \$65,
18 whether it includes the particular technical arrangement
19 that we are talking about here in terms of the access
20 terminal. A very inarticulate question, I'm sorry.

21 Assume the \$65 is correct. That amount includes
22 on a per pair basis the ALEC gaining access to the access
23 terminal in the network terminating wire situation?

24 A That is my understanding, yes.

25 Q Okay. So as I understand it, that nonrecurring

1 cost includes not only the nonrecurring cost, whatever it
2 may be associated with the network terminating wire
3 itself, but also the cost of the access terminal?

4 A That's right.

5 Q Are you familiar with the order that resulted
6 from the Media One arbitration in Georgia with BellSouth?

7 A Yes, sir.

8 Q Can you tell me why the nonrecurring cost that
9 was a result of that proceeding of \$2.48 is so much lower
10 than the \$65 nonrecurring cost BellSouth is proposing
11 here?

12 A I don't know. I didn't develop either one of
13 those costs.

14 Q Now, you mentioned in your summary this further
15 back cross box, and typically what that can be is if there
16 are multiple buildings in an apartment complex with
17 multiple garden terminals, those gardens terminals will
18 all feed to a bigger box, which is this cross box, is that
19 generally about right?

20 A That's right, yes.

21 Q And if the ALEC wants to gain access to that
22 cross box, you are going to require generally the same
23 arrangement, that is, an intermediary access terminal
24 through which the ALEC connects up to that cross box?

25 A That's correct.

1 Q If on a particular apartment complex there is no
2 cross box, will BellSouth install one if the ALEC wants
3 one to be able to interconnect to that entire property?

4 A Yes. To the extent that there is a way to do
5 that. I recall the FCC's order where it talked about
6 single points of interconnection suggested that an
7 incumbent be required to do that if it could do so without
8 creating a splice case or something like that. So, in
9 other words, if there is a technically feasible way to do
10 that on the property, that we are willing to do that.

11 That little box that you have drawn in the
12 bottom left, that cross box may be in a couple of
13 different places. Depending on the size of this apartment
14 complex, there may be a sufficient number of pairs
15 required at that complex that that cross box is on the
16 property itself, you know, somewhere close to the property
17 line.

18 If this is a smaller apartment complex with,
19 let's say, four or five buildings, this cross box may be
20 down the street a ways and would serve not only this
21 apartment complex, but two or three others on the same
22 street. So if the ALEC wanted to access all of those
23 cable pairs into this apartment complex, but didn't want
24 to take its own facilities to the end of each building,
25 then we would be happy to construct an access terminal at

1 that cross box to allow that kind of access.

2 Q Okay. And how about let's say there is a big
3 apartment complex, it is one with many buildings, there is
4 a lake in the middle, some tennis courts, that sort of
5 thing. There is no cross box on the edge of that
6 property, but an ALEC would like to serve all the
7 buildings on that property. Assuming it can do so without
8 causing any harm to the network or anything like that,
9 would BellSouth install a cross box in this situation?

10 A Yes. If there is already a splice point, let's
11 say, where our cable crosses the property then we could
12 put a cross box there for this purpose. If there is not
13 some sort of splice point as our cable crosses the
14 property, we don't think we are obligated to cut that
15 cable in half to create one. And we think that is
16 consistent with what the FCC required of us.

17 Q Okay. We are done with the garden apartment
18 situation.

19 COMMISSIONER JABER: Before you leave that
20 picture, may I ask a couple of questions. You made a
21 distinction in your testimony between collocation and
22 access to the unbundled network element.

23 THE WITNESS: Yes, ma'am.

24 COMMISSIONER JABER: Is there more physical and
25 manpower interference or activity with collocation than

1 there is with access to the unbundled network element?

2 THE WITNESS: No. Physical collocation inside
3 one of our central offices is a much more controlled sort
4 of situation. Although we have arrangements by which
5 ALECs may share collocation space, that doesn't happen too
6 often. So generally an ALEC would have its own
7 collocation arrangement. It is pretty clear where that
8 is, who is going to come and go. Often we have security
9 measures such as these card readers such that we can tell
10 who has been inside our central offices and when.

11 So it is quite a bit different where we do have
12 control of the access. We know who has been there, we
13 know what space they ought to be in. Rather than
14 literally tens, thousands of different locations, you
15 know, that are not so remote, or not so visible, not so
16 frequently visited by us.

17 COMMISSIONER JABER: So knowing who comes and
18 goes and that stringent limit on the activity is all done
19 in a collocation agreement, isn't it? You agree upon
20 those terms in an agreement?

21 THE WITNESS: Yes, that's right.

22 COMMISSIONER JABER: Within the access terminal
23 itself, if there are multiple ALECs, is there anything
24 those multiple ALECs can do in an access terminal that
25 will affect reliability to BellSouth's systems?

1 THE WITNESS: It is still possible, you know,
2 they could -- I don't suggest that they would ever do
3 this, but they could loop all the pairs together, that is
4 short them all out. I don't think they would do that.
5 That would take their own service out, you know, disrupt
6 their own service and other peoples, as well. I would
7 call that an act of vandalism rather than an inadvertent
8 error.

9 COMMISSIONER JABER: But it can happen?

10 THE WITNESS: It could happen, sure.

11 COMMISSIONER JABER: So you would have
12 reliability concerns either way?

13 THE WITNESS: Yes. But, again, I think they are
14 mitigated to some degree by our proposal.

15 COMMISSIONER JABER: All right. Going back to
16 collocation, the concerns you would have about security
17 are also addressed in those collocation agreements, right?

18 THE WITNESS: Yes, they are.

19 COMMISSIONER JABER: Do you know how they are
20 addressed?

21 THE WITNESS: Well, yes. I mean, we, for
22 example, require background security checks of those ALEC
23 employees who come inside our central offices, we issue
24 them either metallic keys or card -- you know, these
25 electronic keys. We have card readers so we know who was

1 there and when. We know when they got there, we know
2 when they left. So there is just a lot more you can do in
3 a central office situation than you can in these thousands
4 of remote locations.

5 BY MR. LAMOUREUX:

6 Q Let me follow-up on that a little bit. First of
7 all, Mr. Varner -- Mr. Milner.

8 A We're up to twenty dollars now.

9 Q Would you agree with me that those security
10 requirements and some other requirements for collocation,
11 actually some ALECs disagree with BellSouth on some of
12 those requirements that BellSouth is trying to impose on
13 them?

14 A There are some areas of disagreement. Largely,
15 though, I think there is mostly agreement.

16 Q Would you agree with me also that in the UNE
17 remand order the FCC clarified that BellSouth is obligated
18 to offer collocation not only in its central offices, but
19 anywhere in its network where it is possible to have
20 collocation, including positions out in the field, such as
21 terminals, cross boxes, and things like that?

22 A Yes. But I don't think what we are talking
23 about here is collocation. What we are talking about is
24 access to an unbundled network element.

25 Q And are you aware that the FCC has ordered that

1 BellSouth must allow ALECs 24 by 7 access to BellSouth's
2 remote terminals for purposes of placing DSLAMs?

3 A Yes, sir. But this is not a remote terminal.

4 Q But CLECs or ALECs will have that sort of
5 access, at in the DSLAMs, to BellSouth's remote terminals
6 to perform that function?

7 A Yes. But there are orders of magnitude fewer
8 remote terminals than there are of this sort of
9 cross-connect device.

10 Q I want to move away from the garden apartment
11 and move to the highrise. Moving on up, I suppose.

12 A You may not be able to afford to if you call me
13 Mr. Varner a few more times.

14 Q Now, typically the arrangement in BellSouth's
15 network, how it gets to a tenant on a particular floor in
16 a highrise is there will be some cabling coming in
17 typically in the basement in an equipment closet, and then
18 that rises vertically up through some structure, and then
19 there is a connection device at each floor, and then it
20 rises or traverses horizontally to each tenant space?

21 A Yes, that's right. The first line that you
22 drew, that is, that rises from the basement to the first
23 floor or to the fourth floor traditionally has been
24 referred to as riser cable. More appropriately it is
25 preferred to as intrabuilding network cable is the way it

1 appears on our books of account. The other piece, the
2 lateral piece is what we call network terminating wire.
3 It is a little confusing in that we use that phrase
4 network terminating wire in two different instances.

5 In the garden apartment complex we just looked
6 at it runs from the end of the building to each individual
7 apartment, let's say. In the highrise scenario it runs
8 from that equipment closet, let's say on the 14th floor,
9 to each apartment or suite on that floor.

10 Q And the unbundled element that we call INC, that
11 is the entirety of this cable from the equipment closet in
12 the basement to the demarcation point at the tenant space?

13 A That is right. What we refer to as unbundled
14 INC, or unbundled intrabuilding network cable includes
15 both of those parts.

16 Q And generally in terms of arrangement, BellSouth
17 is proposing a similar arrangement to the garden situation
18 in a sense that BellSouth will require an intermediary
19 panel through which the ALEC will go from its panel to the
20 BellSouth panel in that equipment closet?

21 A Yes, that's right. In terms of topology they
22 are very similar. Obviously in the basement of the
23 building you don't need protection from the weather, so
24 there is not a metal cover around it or anything of that
25 nature.

1 Q And also, unlike the garden apartment situation,
2 in the highrise building BellSouth will require that this
3 access panel be dedicated to a particular ALEC?

4 A Yes. And the reason for that is that unlike
5 network terminating wire where we wire across or extend
6 each and everyone of those, in a highrise building, as you
7 can imagine, there would be hundreds, even thousands of
8 these pairs of wires. So to wire all of those at the
9 outset would be prohibitively expensive. So, instead,
10 upon request we wire just those that the ALEC requests us
11 to. And so since we do that, we terminate those into that
12 little cross-connect panel which is dedicated for the
13 ALEC's use.

14 Q Okay. And, again, and I don't want to go
15 through the lengthy line of cross, but without engaging in
16 our debate about whether it is a single or multiple point
17 of interconnection, again, in the highrise situation
18 BellSouth will never have to gain access to any tenant by
19 having to go through the access panel, BellSouth will
20 continue to go through its own panel in the equipment
21 closet?

22 A That's correct.

23 Q Okay. And I think you just said in your answer
24 the other distinction between this situation and the
25 garden situation is that for this access panel BellSouth

1 will not prewire the connections between the access panel
2 and BellSouth's panel for the ALEC, is that correct?

3 A Well, we are -- no, that is not correct. We are
4 still willing to prewire, but we will prewire those pairs
5 that the ALEC asks us to. In other words, we don't
6 prewire 100 percent of those thousands of pairs at the
7 outset.

8 Q So the only way BellSouth would prewire all 25
9 pairs on this access panel would be if the ALEC purchased
10 25 pairs of INC regardless of the number of pairs it
11 actually needs to serve the tenant on that floor?

12 A I'm not quite sure I followed your question.
13 Let me try to answer it nonetheless. If the ALEC
14 requested that we prewire 25 pairs and terminate that to
15 one of these connector blocks, that is what we would do.
16 It is the ALEC's decision whether they do that without
17 having any customers at that given moment or not. Does
18 that get at your question?

19 Q Well, let's say that this tenant only needs ten
20 pairs to be able to serve it, and this is the first time
21 that ALEC has gone into that building. But the ALEC is
22 hopeful that it might get some other customers in that
23 building. The ALEC has a choice. It either asks
24 BellSouth to wire the ten pairs, and then when it gets the
25 next customer BellSouth is going to have to come out and

1 wire the remaining pairs; or it is going to have to pay up
2 front to have all 25 pairs wired even though it only needs
3 ten for that first customer?

4 A That is right. That is a business decision that
5 the ALEC would make. You know, it would determine what it
6 thinks its probability of sale to those customers in that
7 building or on that floor are and it would order
8 accordingly. If it thinks there is high risk, it probably
9 would order a few, see how it goes and then order more.
10 If they are very confident that they will win the
11 business, then they may want to order more at the outset.

12 Q And let's assume in my situation that the ALEC
13 when it captured this first customer it only asked to have
14 ten wires or ten pairs prewired. The next time it obtains
15 a customer, let's say it needs the remaining 15 pairs in
16 that panel. A BellSouth technician is going have to come
17 out, it is going to have to coordinate with the ALEC to
18 get the other 15 wires paired up between the panels,
19 correct?

20 A Well, part of what you said is right and part
21 not. Yes, if the ALEC requests an additional 15 pairs,
22 let's say, then BellSouth is going to have to send its
23 technicians out there to wire those pairs across. The
24 part of your statement that I disagreed with was your
25 suggestion that there was a lot of coordination that was

1 required. There need not be any coordination. The ALEC
2 could simply say I need 15 more pairs to the 14th floor,
3 BellSouth, and I would like them there by next Friday.

4 We could do that. Anytime after next Friday the
5 ALEC is free to go out there, and if we have done our work
6 on time, as we should, then the ALEC can use those pairs.
7 So there is not coordination required at the time that the
8 ALEC decides to actually serve customers or additional
9 customers on a given floor.

10 Q All right. Let me take that a piece at a time.
11 Assume the ALEC does not buy or does not pay to have all
12 25 pairs wired up the first time it goes in the building,
13 okay?

14 A Uh-huh.

15 Q And let's say it just so happens -- just to do
16 the math right -- it manages to get five customers over a
17 series of time, each of whom need five pairs, okay? What
18 is going to have to happen is for each of those five times
19 a BellSouth technician is going to have to come out to
20 wire up those two panels, correct?

21 A No, it is not correct. That is true only if the
22 ALEC decides that that is the way it wants to do business.
23 On the other hand, it could have said from the outset,
24 BellSouth, I need 50 pairs on the 14th floor. We would
25 have prewired those at once and there would have not been

1 a need for us to return there until you need the 51st.

2 Q Okay. In the hypothetical I asked to assume
3 that the ALEC chooses not to have BellSouth prewire up all
4 the pairs the first time it obtains a customer.

5 A Okay. I'm sorry, I missed that.

6 Q In that case, if you get five customers over a
7 series of time each of whom needs five pairs, a BellSouth
8 technician is going to have to come out each time and wire
9 up the two panels, correct?

10 A That's right. Based on the ALEC's business
11 decision as to how it would choose to request pairs from
12 BellSouth.

13 Q And assuming that the ALEC is very concerned
14 about the customer cutting over service to the ALEC as
15 quickly as possible after being disconnected from
16 BellSouth, wouldn't that require substantial coordination
17 between the ALEC technician and the BellSouth technician
18 in wiring up the three sets of panels?

19 A No, sir. The situation is completely different
20 here. Because on the other side of this access terminal
21 you recall is the ALEC's own facilities, it's own cable
22 pairs back to a central office or whatever other medium it
23 uses. So there need not be any coordination at the time
24 of service delivery, because once BellSouth wires those
25 pairs, those unbundled intrabuilding network cable pairs

1 over to that access terminal, they are available to that
2 ALEC. And then the ALEC at whatever time it wants to
3 connects the -- makes the connection between its
4 facilities and those pairs.

5 This is quite a bit different from the so-called
6 hot cut procedure of doing loop cut-overs where the ALEC
7 takes the entire BellSouth loop, that is, that loop is
8 being used to serve the customer as a BellSouth, you know,
9 in the morning, and sometime during the day that same loop
10 will be hot cut from BellSouth's switch to the ALEC's.
11 That is not what we are talking about here.

12 What we are talking about is where the ALEC has
13 its own loop facilities and probably its own switching
14 facilities, and then at the time it wants to deliver
15 service to that customer makes that final connection on
16 its own.

17 Q When an ALEC orders INC from BellSouth and
18 BellSouth comes up and wires its panel to the access panel
19 to be able to give the ALEC access to the INC, BellSouth
20 also disconnects the customer at some point, does it not,
21 because it knows that the ALEC is going to be purchasing
22 INC?

23 A Not necessarily. If there are spare INC pairs,
24 and there often are, then those spare pairs could be made
25 available. If the only pairs that are there are the pairs

1 that are serving the customer as a BellSouth customer,
2 then those would have to be cut dead at that time, yes,
3 and transferred across. But in the event that there are
4 spare pairs that is not necessary. And very often just
5 because of the size of these buildings and the nature of
6 the buildings, there is very often spare facilities in
7 there.

8 Q If an ALEC does not want to risk its potential
9 new customer going down on service because there may not
10 be spare pairs available in that building, wouldn't you
11 agree with me that that is going to require a substantial
12 amount of coordination between the ALEC and the BellSouth
13 technician when they come up to wire these panels in the
14 basement?

15 A Well, breaking your question down into its
16 predicates, you said if there are no spare facilities,
17 then the answer is yes. Does it require coordination?
18 Yes, in the same order of magnitude that it requires
19 coordination for hot cuts, which we do pretty routinely.
20 So we already have pretty significant procedures that seem
21 to work pretty well for doing exactly this kind of
22 transaction of moving live service from BellSouth's
23 network to an ALEC's.

24 Q Do ALECs know what spare facilities BellSouth
25 has in all the office buildings in its network?

1 A I certainly doubt it.

2 Q The rate, the nonrecurring rate for the INC, if
3 you will accept this, is \$113.

4 A Okay.

5 Q Would you agree with me that it is probably the
6 case that the reason that rate is so much higher than the
7 nonrecurring rate for network terminating wire, which also
8 includes the access panel, is the fact that connections
9 for this INC are going to require greater dispatches of
10 BellSouth technicians?

11 A Yes. And the reason for that is the reason I
12 gave you earlier. Unlike network terminating wire where
13 we prewire 100 percent of those, in the case of the garden
14 terminal where there may be only 50 or 100 pairs in a
15 given building, that is simply not practical here where
16 there are literally thousands of pairs sometimes. So it
17 is this nature of how much you can practically prewire at
18 the outset, which is ultimately going to result in the
19 number of dispatches.

20 Q Just to put the numbers in context, I used this
21 earlier with Ms. Caldwell, we are talking \$65 for the
22 network terminating wire in the garden situation, and that
23 \$65 includes the cost of the access panel. In the
24 highrise situation, the nonrecurring cost for the INC is
25 \$113, and that doesn't even include the access panel, is

1 that correct?

2 A I thought it did. But the cost of the access
3 panel we are talking about is not very great, so I just
4 don't know whether it is there or not.

5 Q Well, let me give you an exhibit that is behind
6 Mr. Varner's testimony -- I got the name right -- and ask
7 you to take a look at Rate Elements A.2.19 and A.2.20.
8 Roughly about \$333 and \$109?

9 A That's right, yes.

10 Q Would you agree with me that those are the rate
11 elements or those are the costs that are going to be
12 associated in the highrise situation with the ALEC having
13 to purchase and having to get installed the access panel
14 in the highrise building?

15 A Yes, you are right. And I see here a separate
16 charge for that 25 pair panel, you are correct.

17 Q So whereas in the network terminating wire
18 garden situation, the nonrecurring charge of \$65 includes
19 the access panel, the \$113 nonrecurring charge in the
20 highrise situation doesn't even include the access panel,
21 which is an additional \$442, roughly?

22 A The sum of those, yes.

23 Q And all I was trying to get at is this -- would
24 you agree that this \$113 nonrecurring charge in the
25 highrise situation, which doesn't even include the access

1 panel, is most likely so much higher than the garden
2 apartment complex largely because of the dispatch of the
3 BellSouth's technicians to have to wire up the access
4 panel in the highrise situation?

5 A Well, that is one of the attributes, yes. And I
6 have agreed with you that dispatching is going to happen
7 more times in the highrise building because of the fact
8 that you can't prewire 100 percent of those thousands and
9 thousands of pairs at the outset. So that is why the
10 recurring charge -- I mean, the nonrecurring charge,
11 rather, is higher in that instance.

12 By comparison, the garden terminal is pretty
13 straightforward, relatively small number of pairs, usually
14 between 50 and 100, and it is pretty easy to do that at
15 one time. It is not easy to do that where you have got
16 thousands and thousands.

17 Q Can you tell me are there any technical reasons
18 why it is that in the garden apartment situation BellSouth
19 has gone ahead and allocated the cost of the access
20 terminal in the nonrecurring cost element, whereas in the
21 highrise situation there are two separate cost elements
22 that an ALEC has to purchase to get that access panel?

23 A I believe I can. Let me try. In the garden
24 terminal arrangement, that is the garden apartment
25 complex, you will recall that we prewire 100 percent of

1 all of these facilities over. However, we know that ALECs
2 are not going to use all 100 percent of those, and so
3 there is a cost allocation, and I don't remember exactly
4 the proration that went on, but the cost of wiring the 100
5 pairs or 100 percent of the pairs is prorated over to the
6 expected number of pairs that will actually be taken by
7 the ALEC.

8 That is different in the highrise situation
9 because in that case we don't prewire so we do know with
10 certainty exactly how many ALECs are going to take how
11 many pairs because they order it. So there is no
12 prorating in the highrise situation where there is in the
13 garden apartment situation.

14 Q Would you agree with me that if direct access
15 were ordered by the Commission, this charge would be
16 eliminated? This charge would be eliminated, the \$113
17 would be reduced substantially, and the \$65 would be
18 reduced substantially?

19 A Well, yes. But that same logic would apply to
20 lots of other things. You know, that says if you went to
21 a car dealer and they handed you the keys, wouldn't that
22 cost less than buying the car? Yes.

23 Q All I'm trying to get at is the requirement of
24 an intermediary access terminal access panel drives up the
25 costs of interconnecting to get network terminating wire

1 and INC?

2 A I don't agree that it drives up anything. There
3 is a cost associated with access and that is what we are
4 talking about here. BellSouth has proposed what it
5 believes to be a technically feasible means for that
6 access. There is a cost that goes along with that.

7 COMMISSIONER JABER: Mr. Milner, is there an
8 increase in the cost study because of the construction of
9 an access terminal by BellSouth?

10 THE WITNESS: Well, yes, ma'am. The cost study
11 considers that the access terminal will be constructed, so
12 part of the price includes that.

13 COMMISSIONER JABER: And you would agree that
14 that cost wouldn't be there if you didn't construct the
15 access terminal, right?

16 THE WITNESS: I'm sorry, say again?

17 COMMISSIONER JABER: You would agree that that
18 cost wouldn't be in the cost study if you didn't have an
19 access terminal and ALECs had direct access to the garden
20 terminal?

21 THE WITNESS: I agree with that, but I also
22 believe that that would reduce network reliability and
23 security.

24 COMMISSIONER JACOBS: Are you aware enough of
25 trends in the industry to know whether or not this is a

1 practice followed by most other companies?

2 THE WITNESS: No, I can't say, Commissioner,
3 whether this is a trend or not. I will tell you that
4 BellSouth was offering subloop unbundling well before the
5 FCC required us to do so. We started doing this back in
6 early 1996 with shared tenant service providers and
7 basically this same model of access. But, no, I can't
8 tell you which companies use this form of access versus
9 another.

10 COMMISSIONER JACOBS: Thank you.

11 CHAIRMAN DEASON: Mr. Lamoureux, how much more
12 do you have for this?

13 MR. LAMOUREUX: Half an hour, 45 minutes.

14 CHAIRMAN DEASON: We will go ahead and we are
15 going to recess for the evening shortly.

16 But before I do, let me ask a question. Once we
17 finish with Mr. Milner tomorrow morning, that will
18 conclude BellSouth's witnesses and then the
19 cross-examination will be being done by BellSouth.

20 Do you have any indication as to whether -- are
21 we going to need two full days? Two full days, that is
22 sufficient?

23 MR. EDENFIELD: Chairman Deason, it is my
24 estimation that two days will be more than sufficient. I
25 haven't really talked to my compatriots here about the

1 amount of cross-examination, but --

2 CHAIRMAN DEASON: The reason I asked the
3 question is that we are prepared and fully capable and
4 willing to start tomorrow morning at 8:00 o'clock. And I
5 am just -- I'm getting nods yes from the parties that that
6 is probably a good idea.

7 MR. MELSON: That is because they want to leave
8 early Friday.

9 CHAIRMAN DEASON: Oh, okay.

10 MR. EDENFIELD: I have no problem starting at
11 8:00 o'clock. And, you know, maybe if we get lucky that
12 will let us finish tomorrow. I mean, if we go into Friday
13 at this point I don't think we are going to be long into
14 Friday. So maybe there is a chance if we start at 8:00 we
15 could finish.

16 CHAIRMAN DEASON: So is not a necessity we begin
17 at 8:00, but there is no objection -- in fact, there is
18 probably a preference that we begin at 8:00. Staff is not
19 saying anything.

20 MR. EDENFIELD: Sorry.

21 CHAIRMAN DEASON: Okay. We are going to adjourn
22 for the evening and we will begin tomorrow at 8:00
23 o'clock, okay. See you all tomorrow at 8:00 o'clock.

24 (The hearing adjourned at 6:15 p.m.).

25 (Transcript continues in sequence in Volume 14.)

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON)

4

5 I, JANE FAUROT, RPR, Chief, FPSC Bureau of Reporting
6 Official Commission Reporter, do hereby certify that the
7 Hearing in Docket No. 990649-TP was heard by the Florida
8 Public Service Commission at the time and place herein
9 stated.

7

8 It is further certified that I stenographically
9 reported the said proceedings; that the same has been
10 transcribed under my direct supervision; and that this
11 transcript, consisting of 211 pages, Volume 13 constitutes
12 a true transcription of my notes of said proceedings and
13 the insertion of the prescribed prefiled testimony of the
14 witness(s).

11

12 I FURTHER CERTIFY that I am not a relative, employee,
13 attorney or counsel of any of the parties, nor am I a
14 relative or employee of any of the parties' attorneys or
15 counsel connected with the action, nor am I financially
16 interested in the action.


14

15 DATED THIS 22nd DAY OF SEPTEMBER, 2000.

15

16

17



JANE FAUROT, RPR
FPSC Division of Records & Reporting
Chief, Bureau of Reporting
(850) 413-6732

18

19

20

21

22

23

24

25