

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


In the Matter of : DOCKET NO. 990649-TP

INVESTIGATION INTO PRICING :
OF UNBUNDLED NETWORK :
ELEMENTS. :

* ELECTRONIC VERSIONS OF THIS TRANSCRIPT *
* ARE A CONVENIENCE COPY ONLY AND ARE NOT *
* THE OFFICIAL TRANSCRIPT OF THE HEARING *
* AND DO NOT INCLUDE PREFILED TESTIMONY. *
* *

VOLUME 15

Pages 2269 through 2464



PROCEEDINGS: HEARING

BEFORE: CHAIRMAN J. TERRY DEASON
COMMISSIONER E. LEON JACOBS, JR.
COMMISSIONER LILA A. JABER

DATE: Thursday, September 21, 2000

TIME: Commenced at 8:15 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: TRICIA DeMARTE
Official FPSC Reporter
Division of Records & Reporting

APPEARANCES: (As heretofore noted.)

I N D E X

| 1 | I N D E X | |
|----|---|----------|
| 2 | WITNESSES | PAGE NO. |
| 3 | CATHERINE PITTS | |
| 4 | Stipulated prefiled rebuttal testimony inserted | 2275 |
| 5 | Stipulated prefiled supplemental rebuttal testimony inserted | 2304 |
| 6 | | |
| 7 | GREG DARNELL | |
| 8 | Stipulated prefiled revised rebuttal testimony inserted | 2314 |
| 9 | | |
| 10 | BRENDA KAHN | |
| 11 | Direct Examination by Mr. Lamoureux | 2332 |
| 12 | Prefiled Rebuttal Testimony Inserted | 2335 |
| 13 | Cross-Examination by Ms. White | 2367 |
| 14 | Redirect Examination by Mr. Lamoureux | 2387 |
| 15 | | |
| 16 | JEFFREY KING | |
| 17 | Direct Examination by Mr. Lamoureux | 2389 |
| 18 | Prefiled Revised Rebuttal Testimony Inserted | 2391 |
| 19 | Prefiled Supplemental Rebuttal Testimony Inserted | 2404 |
| 20 | Cross-Examination by Mr. Ross | 2414 |
| 21 | Redirect Examination by Mr. Lamoureux | 2443 |
| 22 | Further Redirect Examination by Mr. Lamoureux | 2451 |
| 23 | | |
| 24 | GEORGE FORD | |
| 25 | Stipulated prefiled rebuttal testimony inserted | 2454 |

E X H I B I T S

| 2 | NUMBER | ID. | ADMTD. |
|----|--|------|--------|
| 3 | 128 (Confidential) Pages 7, 8, 18, 20, 26 | 2273 | 2274 |
| 4 | | | |
| 5 | 129 CEP-1 & CEP-7 | 2274 | 2274 |
| 6 | 130 CEP-2 through CEP-6 and CEP-8 | 2274 | 2274 |
| 7 | 131 (Confidential) GJD-8 | 2312 | 2313 |
| 8 | 132 GJD-1 through GJD-7 and GJD-10 and GJD-11 | 2313 | 2313 |
| 9 | | | |
| 10 | 133 (Confidential) Pages 12, 13, 16, 17, 19, 20, 22, 23 | 2334 | 2388 |
| 11 | | | |
| 12 | 134 BK-1 and BK-2 | 2334 | 2388 |
| 13 | 135 JAK-1 and JAK-3 | 2412 | 2453 |
| 14 | 136 (Confidential) JAK-4 | 2413 | 2453 |
| 15 | 137 Petition by AT&T and TCG for arbitration | 2429 | 2453 |
| 16 | | | |
| 17 | 138 Agreement between BellSouth and AT&T and TCG | 2431 | 2453 |
| 18 | | | |
| 19 | CERTIFICATE OF REPORTER | | 2464 |
| 20 | | | |
| 21 | | | |
| 22 | | | |
| 23 | | | |
| 24 | | | |
| 25 | | | |

P R O C E E D I N G S

1
2 (Transcript continues in sequence from
3 Volume 14.)

4 CHAIRMAN DEASON: Call the hearing back to
5 order. For those of you who are not aware, there's a
6 tropical storm in the Gulf of Mexico, and it is gaining
7 strength and it is headed North. There's a tropical storm
8 advisory from Aucilla River westward to Mississippi, and
9 we don't know what it's going to do other than we know
10 it's going to bring us some bad weather; I would think
11 definitely bad for people who need to fly and that's you
12 all. Okay. I can get in my truck and pretty well make it
13 home okay. So just be advised.

14 MR. MELSON: For the out-of-state people and
15 those of us who are geographically challenged, where is
16 the Aucilla River?

17 CHAIRMAN DEASON: Aucilla River is a little bit
18 to the southeast of Tallahassee.

19 MR. MELSON: Okay.

20 CHAIRMAN DEASON: So Tallahassee is right in
21 the -- we're in the -- while we might not be the bullseye,
22 we're the first ring. Okay.

23 Where were we? We need to call the next
24 witness. Is there any preliminary matters we need --
25 housecleaning that we need to take care of?

1 MR. SELF: Mr. Chairman, we have two stipulated
2 witnesses that are actually the next two, Catherine Pitts
3 and Greg Darnell.

4 CHAIRMAN DEASON: All right. We will address
5 that then.

6 MR. SELF: AT&T and MCI WorldCom are putting
7 forth the witness Catherine Pitts. She has filed rebuttal
8 testimony consisting of 29 pages, and we've got five pages
9 of that which are confidential, if you'd like to do what
10 we did last time and make those a separate exhibit.

11 CHAIRMAN DEASON: Yes, if we could identify
12 exactly what pages.

13 MR. SELF: Those are Pages 7, 8, 18, 20, and 26.

14 CHAIRMAN DEASON: Okay. That will be
15 Exhibit -- those pages will constitute Exhibit 128.

16 (Exhibit 128 marked for identification.)

17 MR. SELF: Thank you. And there are no changes
18 or corrections to the rebuttal testimony of
19 Catherine Pitts. There is also supplemental rebuttal
20 testimony consisting of eight pages. There are no changes
21 or corrections to that, and none of that is confidential.
22 And we would ask that that be placed in the record as
23 though read.

24 CHAIRMAN DEASON: Oaky. All of the testimony
25 which you've just described with the exception of the

1 confidential pages will be inserted in the record.

2 MR. SELF: And we have filed public versions of
3 those confidential pages. In addition, attached to
4 Ms. Pitts' testimony are some confidential and
5 nonconfidential exhibits. The nonconfidential exhibits
6 are Exhibits CEP-1 and CEP-7. If we could give those two
7 a composite exhibit number, Mr. Chairman.

8 CHAIRMAN DEASON: 129.

9 (Exhibit 129 marked for identification.)

10 MR. SELF: And then we have some confidential
11 exhibits associated with Ms. Pitts' testimony. Those are
12 identified as CEP-2, 3, 4, 5, 6, and 8. If we could give
13 those the next number, please.

14 CHAIRMAN DEASON: Yes, 130.

15 (Exhibit 130 marked for identification.)

16 MR. SELF: And we would ask that those exhibits,
17 128, 129, and 130, be admitted into the record.

18 CHAIRMAN DEASON: Without objection, they shall
19 be admitted.

20 (Exhibits 128, 129, and 130 admitted into the
21 record.)

22 MR. SELF: And I think we have already handled
23 her testimony.

24 CHAIRMAN DEASON: Yes.

25

1 **1. INTRODUCTION**

2 **Q. PLEASE STATE YOUR NAME, PRESENT POSITION AND**
3 **BUSINESS ADDRESS**

4 **A.** My name is Catherine E. Pitts (formerly Petzinger). I am a District
5 Manager with AT&T in Law and Government Affairs, 295 North Maple
6 Avenue, Basking Ridge, New Jersey.

7 **Q. PLEASE DESCRIBE YOUR WORK EXPERIENCE AND**
8 **EDUCATIONAL BACKGROUND**

9 **A.** I have an MBA from Rutgers University, New Jersey, and have thirteen
10 years of experience in the telecommunication industry building, and
11 subsequently leading, a group that developed switching cost models,
12 including the Switching Cost Information System ("SCIS"). My
13 experience includes extensive consultation on the use of cost models in
14 various cost studies in the United States and abroad.

15 Before joining AT&T in 1996, I worked at Telcordia (formerly Bellcore)
16 for 13 years in the Cost Methods and Models organization. I was one of
17 three individuals who designed the SCIS/IN¹ model and implemented new
18 incremental costing methodology into the program. I also was the lead
19 subject matter expert on feature costing in general as well as a subject

¹ SCIS/IN is the SCIS model that determines the costs for vertical features and services.

1 matter expert on 1ESS, 1A ESS and 5ESS switches. When I was
2 promoted to lead the SCIS group, I had responsibility for the technical
3 development, production, documentation, customer care and cost study
4 consultation for the SCIS family of models.

5 **Q. HAVE YOU PREVIOUSLY TESTIFIED IN REGARD TO LEC**
6 **COST MODELS IN GENERAL, AND THE SWITCHING COST**
7 **INFORMATION (SCIS) IN PARTICULAR?**

8 **A.** Yes, I have presented expert testimony in numerous state proceedings
9 dealing with switching unbundled element cost studies.

10 **2. PURPOSE AND SUMMARY OF TESTIMONY**

11 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

12 **A.** The purpose of my testimony is to report my findings regarding
13 BellSouth's switch cost study methodology and the inputs used by
14 BellSouth for developing switch investments. Other witness' testimony
15 analyzes the annual cost factors, investment loading factors and expense
16 factors. Their proposed recommendations, in conjunction with the
17 proposed changes I make to switch investments, support the UNE switch
18 costs restated in Mr. King's testimony.

1 **Q. PLEASE SUMMARIZE THE MAIN POINTS OF YOUR**
2 **TESTIMONY**

3 **A.** Inappropriate switch prices were used as a starting point for BellSouth's
4 cost study, resulting in inflated costs for all switch-related elements.

5 The SST model has inappropriate and unsupported feature cost
6 methodologies that contain numerous errors, causing seriously overstated
7 feature-related costs.

8 **3. OVERVIEW OF BELLSOUTH'S SWITCH COST STUDY**

9 **Q. DESCRIBE HOW BELLSOUTH DETERMINES ITS PROPOSED**
10 **COSTS FOR UNBUNDLED SWITCH ELEMENTS.**

11 **A.** BellSouth first used the proprietary Telcordia SCIS/MO model to allocate
12 switch costs to pre-defined traffic sensitive and non-traffic sensitive cost
13 categories. BellSouth then analyzed various data, including proprietary
14 information from the Telcordia SCIS feature module (SCIS/IN), to
15 develop its new Simplified Switching Tool (SST). The BellSouth SST
16 model includes formulas to calculate feature investments and switch usage
17 investments in the SST-Usage workbook, and computes investments for
18 switch ports in the SST-Port workbook. Additional investments for RTU
19 fees, land and building, local telephone company engineering and
20 installation are added to the switch investments. The in-place investments
21 are then converted to annual and/or monthly costs, and switch related and

1 other expenses are added to produce BellSouth's claimed cost for switch
2 UNEs.

3 **4. INAPPROPRIATE SWITCH PRICES WERE USED AS THE**
4 **FOUNDATION OF BELLSOUTH'S SWITCH ELEMENT COST**
5 **STUDIES.**

6 **Q. WHAT SWITCH PRICES DID BELLSOUTH USE IN ITS COST**
7 **STUDY?**

8 A. BellSouth used the new (replacement) switch price for equipment included
9 in the first cost (getting started cost) of the switch and a melded new and
10 growth price for all remaining switch equipment.²

11 **Q. WHAT IMPACT DOES THE USE OF A MELDED DISCOUNT**
12 **HAVE ON SWITCH PRICES?**

13 A. The vendors often provide a two-tiered pricing structure with higher
14 discounts for new switch purchases and a lower discount for add-on, or
15 growth, equipment. The SCIS/MO model only has list prices. The user
16 must enter discounts as inputs to derive net switch prices. If the new
17 switch discount is melded with the growth discount, the overall switch
18 prices and ultimately the switch element costs will be higher.

² Page Testimony, pg. 24

1 Even if melding were appropriate, BellSouth's melded discount input to
2 SCIS/MO appears to assume that the majority of lines are at the higher
3 growth price.³ BellSouth, however, purchases most lines on a switch at
4 the new switch price. BellSouth would recover significantly more than its
5 own switch investment from the ALECs for UNE-P if the switch UNEs
6 are costed using heavily weighted higher growth prices. Not only is cost
7 causation violated, but a barrier to market entry is constructed when
8 ALECs not only pay more than BellSouth for the same resource, but are
9 also required to overcompensate BellSouth, providing it with
10 extraordinary profits.

11 **Q. IS BELL SOUTH'S EXAMPLE OF REPLACEMENT COSTS**
12 **EXCEEDING MELDED REPLACEMENT AND GROWTH COSTS**
13 **REALISTIC?**

14 A. No. BellSouth's example⁴ showing that replacement costs "can" lead to a
15 higher cost in the long run falls apart if realistic numbers are assumed for
16 current switch sizes, forward-looking growth rates, realistic discounts for
17 replacement and growth, and a reasonably foreseeable time horizon. In
18 fact, the example that BellSouth uses to support its claim that the use of
19 new (replacement) switch prices "can" lead to higher costs includes
20 growth at 10% per year over 10 years. Ten percent growth is not

³ BellSouth's Response to ATT's 2nd Set of Interrogatories, Item #87, attached as Exhibit CEP-1

1 reasonable nor is ten years foreseeable in the dynamic telecommunications
2 industry.⁵ Moreover, it is doubtful that the switch contracts currently in
3 place would be effective through the year 2010, making the prices pure
4 speculation.⁶

5 In summary, BellSouth's use of higher growth costs in the switching cost
6 study, while not including the impacts of growth costs in interoffice
7 facilities (which would decrease costs), for example, is inconsistent,
8 causes higher switch costs and should be rejected.

9 **Q. WHAT DISCOUNT INPUTS TO SCIS SHOULD BE USED?**

10 A. The new switch discounts BellSouth entered into SCIS/MO that are
11 applied to the getting started equipment (first cost) should be used for all
12 switch equipment.

13 **Q. WHAT IMPACT DOES THIS HAVE ON THE RESULTS?**

14 A. Correcting the discount inputs, rerunning SCIS/MO and loading the new
15 SCIS/MO results into BellSouth's SST model produces switch
16 investments for ports that are approximately 50% of the port investments

⁴ Page Testimony, Exhibit JHP-1

⁵ Indeed, BellSouth's switch planning horizon is 2-3 years as stated in Page Testimony, pg. 22 Footnote 3.

⁶ As BellSouth requires review of its contracts at its location (unlike other RBOCs who do provide this information under protective cover directly to participants in a proceeding), AT&T has not yet had an opportunity to determine the precise contract

1 claimed by BellSouth. Unbundled local switching and trunk ports are
2 approximately 40% and 50%, respectively of BellSouth's claimed
3 BellSouth costs.

4 The restated BellSouth costs sponsored by Mr. King include the corrected
5 discount inputs.

6 **Q. PLEASE EXPLAIN WHY SOME ISDN RESULTS ARE NOT**
7 **RELIABLE.**

8 A. When AT&T attempted to calculate the offices in BellSouth's SCIS/MO,
9 multiple processing errors were displayed associated with calculating
10 ISDN on DMS RSC-S remotes.⁷ The ISDN port section of BellSouth's
11 SCIS/MO ISDN Investment report that was included in BellSouth's
12 electronic SCIS/MO filing is excerpted below:

13 *****Begin Proprietary*****

14 xxx

15 xxx

16 xxx

17 xxx

18 xxx

19 xxx

expiration dates.

⁷ While the user had to click on the error messages indicating that there were missing table items necessary to the calculations, SCIS/MO continued to calculate.

1 XXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXXX

2 *****End Proprietary*****

3

4 Note that subcategory D is the sum of the D1, D2 and D3. Also note that
5 the Min. Inv. per BRI (ISDN 2-wire port) should be the sum of
6 subcategories A, C and D, but obviously it is not. It appears that the D3
7 category value, which is usually minimal, is wrong, but the printed value
8 not being added to the Min. Inv. per BRI.

9 The SST model, when importing the detailed results from SCIS, does load
10 the individual subcategory values to calculate an incorrect investment for
11 ISDN BRI ports.⁸ When we removed the wire centers with the DMS
12 RSC-S remote switches from the SCIS/MO study, the individual 'A, C,
13 and D' sub-elements added up correctly to the Min. Inv. per BRI and no
14 error messages were received during calculations.

15 **Q. HOW SHOULD THE ISDN COSTS BE CALCULATED?**

16 A. We removed the offices that had DMS RSC-S remotes with ISDN in order
17 to have SCIS/MO recalculate the ISDN port investments with corrected
18 discounts without processing errors. Therefore, the restated ISDN port
19 investments in Mr. King's testimony excludes these offices.

⁸ See, for example, Columns AA and AK of the SCIS Input Worksheet in FLST_SST-P.

1 **5. THE SST MODEL'S FEATURE STUDY IS FLAWED**

2 **Q. PLEASE DESCRIBE HOW THE SST MODEL DETERMINES THE**
3 **COST OF FEATURES.**

4 A. BellSouth's SST-U model categorizes features into thirteen categories,
5 based on the type of switch resource used to operate the feature. BellSouth
6 uses the SCIS/MO model outputs as inputs to SST-U, along with the
7 results of BellSouth's feature Hardware Study, and makes numerous
8 simplifying assumptions about switch resources consumed by features, to
9 calculate a theoretical cost for a given feature category. The features in
10 each category are then added together to generate BellSouth's composite
11 feature, shown as Central Office Features Category 13, that makes up
12 Element B.4.13. An additional feature that purportedly identifies the cost
13 of Centrex Intercom Usage is calculated under the name Centrex
14 Functionality, Element B.4.10.

15 **Q. PLEASE IDENTIFY THE FEATURE COSTING FLAWS.**

16 A. BellSouth states that "The key inputs to feature material prices are switch
17 realtime estimates, customer usage characteristics, and special hardware
18 prices."⁹ Ironically, these "key inputs" are the ones that have the most
19 serious flaws in BellSouth's feature costing methodology. The following
20 flaws will be described subsequently in more detail.

⁹ Page Testimony, pg. 26

- 1 • The SCIS/MO output results used as inputs to SST were generated
2 using melded discount inputs weighted heavily towards higher-priced
3 growth costs rather than new switch prices, and contribute to
4 overstating feature costs.
- 5 • The Hardware Study uses incorrect investments, incorrect capacities
6 and utilization adjustments that produce inflated hardware costs for
7 features.
- 8 • The entire conceptual methodology of averaging disparate feature
9 inputs together in an attempt to force the costs to fit a theoretical
10 feature category, and making broad assumptions that are used as
11 critical inputs is flawed.

12 **Q. PLEASE EXPLAIN WHY THE INCORRECTLY DISCOUNTED**
13 **SCIS/MO RESULTS CONTRIBUTE TO FEATURE COST**
14 **OVERSTATEMENTS.**

15 A. The SCIS/MO model produces investments for switch functions on a
16 usage-sensitive basis. These unit costs from SCIS/MO (for example, the
17 cost of a processor millisecond, or the cost of a line path, etc.) are then
18 multiplied by BellSouth's guesstimates of the amount of resources used by
19 a feature category. The SCIS/MO results were produced using the
20 inappropriate discounts described previously, and thus produce inflated
21 feature costs. The cost restatements in Mr. King's testimony incorporate
22 the corrected discounts.

1 **6. THE HARDWARE STUDY HAS INVESTMENT, CAPACITY AND**
2 **UTILIZATION FACTOR ERRORS**

3 **Q. PLEASE EXPLAIN WHAT THE HARDWARE STUDY IS.**

4 A. BellSouth produced the Hardware Study to calculate the cost of unique
5 feature-related hardware, such as conference circuits and announcements.¹⁰
6 The hardware category makes up more than 70% of BellSouth's proposed
7 composite feature investment. BellSouth says it obtained investments and
8 capacities from Telcordia's SCIS/IN model and from the switch vendors.
9 BellSouth's Hardware Study divides the investments for specific hardware
10 components by their respective capacities, adjusted for utilization, to
11 produce an average cost per CCS¹¹ for each feature hardware component.
12 The cost per CCS for each component was then averaged together to
13 produce a simple average cost per CCS for all hardware. Then the cost
14 per CCS was multiplied by an assumed average holding time for all
15 features that use hardware to generate a cost for hardware for the feature
16 category.

¹⁰ This hardware is often bundled in the vendor's basic switch design and price, thereby causing no unique investment for features.

¹¹ Centum call seconds - an alternative measure to minutes typically used in switch engineering.

1 **Q. WHAT PROBLEMS DID YOU FIND WITH THIS APPROACH?**

2 A. There were numerous investment and capacity problems in this study that
3 affected each and every hardware component calculation. Usually, the
4 investments in the numerator were too high and the capacities in the
5 denominator were too low, causing inflated hardware costs per CCS. In
6 addition, the method of averaging the hardware costs, the holding times
7 and the number of calls using the hardware is flawed.

8 **Q. PLEASE DETAIL THE INVESTMENT PROBLEMS.**

9 A. Feature hardware components are integrated into the switch itself and the
10 prices are discounted by the switch manufacturers in the same manner as
11 the rest of the switch. Using the SCIS/IN model to calculate hardware
12 investments with *no discount at all* produced lower costs for most of the
13 hardware¹² than BellSouth's Hardware Study. We analyzed BellSouth's
14 Hardware Study in detail to determine what caused its net unit investments
15 to be higher than the list price unit investment using SCIS data.

16 There are two hardware items in BellSouth's Hardware Study sourced to
17 SCIS/IN; namely, the Call Waiting Tone circuit and the CLASS Modem
18 Resource Card (required for calling number delivery, calling name
19 delivery, etc.). BellSouth used the list price (with no discount at all) for

¹² Only three announcement circuits of the ten hardware components were priced

1 the CLASS Modem Resource Card. And although BellSouth's study did
2 show a discount (albeit the heavily weighted growth melded discount) for
3 the Call Waiting Tone, it showed 0 discount for the CLASS Modem
4 Resource Card. In addition, BellSouth shows the source of the Call
5 Waiting Tone as SCIS/IN, but the BellSouth claimed investment could not
6 be found. BellSouth's undocumented investment was 88% higher than the
7 Call Waiting Tone investment listed in SCIS/IN.¹³

8 The remaining hardware investments are sourced to the vendors – Lucent
9 or Nortel. It is unclear from BellSouth's documentation exactly what
10 information was provided by the vendors and what was derived from
11 BellSouth sources¹⁴, but it appears that at least one technology's
12 investments included "loadings" and costs for "associated resources".¹⁵ It
13 is probable that some of these associated resources are double counted
14 here and again in the telco installation factor, and/or other factors
15 subsequently applied to the material investments in the Cost Calculator.

slightly higher by SCIS/IN's methodology using list prices than BellSouth's study.

¹³ The SCIS/IN hardware investment tables for DMS and 5ESS are attached as Proprietary Exhibit CEP-2.

¹⁴ See BellSouth's Response to POD #6, Attachment 1 that shows a note to an unknown recipient from Jeff Shadrick requesting costs without specific instructions, attached as Exhibit CEP-3. For example, it is unknown whether the costs requested were discounted costs or list prices. Nor do we know the author of the notes or table entries in the attachment.

¹⁵ ID. Page 4 "*estimated prices are loaded and include associated resources required to add equipment*" [emphasis added]

1 Q. PLEASE EXPLAIN THE CAPACITY PROBLEMS FOUND IN
2 BELLSOUTH'S HARDWARE STUDY.

3 A. The capacity information provided by BellSouth in POD Item #6,
4 Attachment 1 (Exhibit CEP-3), is not in CCS units and BellSouth
5 provided no explanation for the capacities it ultimately used in the
6 Hardware Study.

7 BellSouth used the Call Waiting Tone capacity for one call waiting tone
8 from SCIS/IN, but used an undocumented investment for two circuits.¹⁶
9 Dividing the investment of two circuits by the capacity of one circuit
10 produced a cost per CCS twice as high as it should have been (not
11 counting other errors).

12 The Hardware Study labels the capacity of the CLASS Modem Resource
13 Card "CCS", but it is actually the number of lines that can share the card,
14 but the estimate is too low. The actual number of lines that can share a
15 CLASS Modem Resource Card is more than ten times what BellSouth has
16 shown.

17 BellSouth used the capacity from SCIS/IN for a DSU2 / RAF / BRCS
18 announcement, but used the investment for a much higher-capacity
19 announcement called an SAS.¹⁷ BellSouth has mixed an apple with a

¹⁶ See formula in Call Waiting Tone Material \$ cell of Hardware Study worksheet.

¹⁷ See Exhibit CEP-3 - POD #6, Attachment 1, page 4, Note 3

1 crate of oranges. Dividing the high cost SAS announcement by the RAF
2 announcement's comparably smaller capacity results in a seriously
3 overstated cost per CCS.

4 Finally, BellSouth applied utilization factors to all the capacities that
5 further inflate the costs. Most of the values in SCIS/IN's capacity table
6 for hardware are already utilization values, not ultimate capacity.
7 Applying a utilization factor to SCIS/IN values double counts spare
8 capacity, thereby contributing to overstated feature costs.

9 **Q. IS THERE A MORE ACCURATE WAY TO DETERMINE THE**
10 **COSTS OF THIS HARDWARE?**

11 A. Yes. SCIS/IN does have the hardware investments in the model and we
12 have been able to use its investments, formulas and capacities to restate
13 BellSouth's hardware study results shown in Proprietary Exhibit CEP- 4.
14 Even using BellSouth's original melded discount for the hardware
15 components, SCIS/IN produced results approximately 50% of BellSouth's
16 study. Correcting the discount input to reflect new switch prices produces
17 results that are approximately 33% of BellSouth's claimed hardware
18 investments. The restated costs in Mr. King's testimony include the
19 hardware corrections.

1 7. BELLSOUTH'S FEATURE COST METHODOLOGY USES FLAWED
2 CUSTOMER USAGE CHARACTERISTICS AND SWITCH
3 REALTIME ESTIMATES

4 Q. WHAT SIMPLIFYING ASSUMPTIONS HAS BELLSOUTH MADE
5 TO COST FEATURES?

6 A. The following simplifications were made to streamline the feature costing
7 methodology.

8 BellSouth collapsed the "400 or so SCIS switch features" into 13 SST
9 feature categories, based on the types of switch resources the features
10 consume.

11 BellSouth mixed and matched busy hour call usages for individual
12 features, that are themselves suspect, to derive an average busy hour call
13 usage per line for an entire category of features.

14 BellSouth assumes that every feature uses the same amount of central
15 processor time; in fact, it assumes that each and every feature uses the
16 same amount of processing time as a regular call set-up. In addition,
17 BellSouth's methodology assumes that both the Lucent and Nortel
18 switches process all feature calls in the central processor.

19 BellSouth averages the holding times of hardware components performing
20 vastly different functions to derive an average holding time for all
21 hardware.

1 **Q. WHAT ARE THE FEATURE CATEGORIES DEFINED BY**
2 **BELLSOUTH?**

3 **A.** The major categories are switch functions; i.e., features that use the
4 processor, a line path, special hardware, a line port, or SS7 and then these
5 five are mixed and matched to produce an additional eight combination
6 categories for a total of thirteen categories.

7 **Q. WHAT IS NEEDED TO DETERMINE THE COST OF A**
8 **CATEGORY OF FEATURES?**

9 **A.** An individual feature is basically the cost of a switch resource (e.g., cost
10 per hardware CCS) times the number of times the feature is used in the
11 busy hour¹⁸ and the holding time of the call using the feature (BellSouth
12 refers to these as key inputs). BellSouth's approach was to derive the "key
13 inputs" for customer usage characteristics for an entire category of
14 features.

15 **Q. HOW DID BELLSOUTH DETERMINE THE BUSY HOUR CALL**
16 **USAGE FOR EACH OF THE 56 FEATURES REVIEWED?**

17 **A.** When asked for supporting documents, analysis and calculations to
18 support the busy hour call estimates per feature category¹⁹, BellSouth

¹⁸ Switches are engineered to the busy hour. Features used out of the busy hour have no economic usage cost. Indeed, processors in digital switches do not limit the capacity of the switch, instead, switches are port limited as will be discussed in detail subsequently.

¹⁹ See POD #141, Attachment No. 1, attached as Exhibit CEP-5.

1 provided a listing and indicated that the source was its own retail study
 2 inputs.²⁰ Just a casual review causes concern that these inputs are not
 3 correct. For example, 3-way calling is shown as *****Begin**
 4 **Proprietary***** x *****End Proprietary***** calls in the busy hour. In
 5 BellSouth's study, lines average just over *****Begin Proprietary***** xxx
 6 *****End Proprietary***** calls in the busy hour, and this would mean that
 7 an inordinately high one of every *****Begin Proprietary***** xx *****End**
 8 **Proprietary***** calls would have to be a conference call. Another
 9 example is Night Service which allows an attendant to close down the
 10 attendant console and divert incoming calls to another station in the
 11 business group. BellSouth's inputs indicate that the console would be
 12 closed down *****Begin Proprietary***** xx *****End Proprietary***** in
 13 the switch's busy hour, which is highly unlikely.²¹

14 **Q. HOW DID BELLSOUTH CONVERT THE INDIVIDUAL**
 15 **FEATURE CALL USAGES TO ONE CALL USAGE FOR AN**
 16 **ENTIRE CATEGORY?**

17 **A.** BellSouth took the simple average (mean) of all the inputs for the features
 18 in a category to derive the average number of times a feature is used. The
 19 features that make up a category are disparate; for example, PBX attendant

²⁰ See POD #14, attached as Exhibit CEP-6.

²¹ Night Service would typically be activated at the end of the business day – usually not the busy hour for a switch serving business customers. A switch serving business customers typically experiences a 10-11 a.m. busy hour.

1 features, residential features, Centrex features, multiline group features
2 and trunk-side connection features all go into one category.

3 **Q. WHAT CONCERNS DO YOU HAVE WITH BELLSOUTH'S**
4 **DERIVATION OF ONE CALL USAGE FOR AN ENTIRE**
5 **CATEGORY?**

6 A. There are two significant problems. First, taking a simple average, rather
7 than a weighted average, of all the features ignores that some features have
8 high penetrations (e.g., Caller ID for residence and business) and some are
9 quite rare (e.g., Trunk Answer Any Station when an attendant's console is
10 shut down to enable any station in the group to answer a call), causing a
11 distorted result.

12 Second, some inputs for these features are on a single line basis, some are
13 on a per business group basis, and some are on a trunk group basis.
14 BellSouth takes Caller ID usage per *line*, Uniform Call Distribution whose
15 input is on a per hunt *group*²² basis, and Night Service activations per
16 *attendant*; and then averages them together to illogically come up with an
17 average usage *per port*. Call usages that are per line, per trunk, per
18 attendant and per group cannot be simply added up and divided by the
19 number of features that BellSouth then assumes is a per port average.

²² This is not the only group basis input used – there are multiple features whose inputs are per group.

1 Q. HOW DOES BELLSOUTH USE THE FLAWED AVERAGE
 2 USAGE PER CATEGORY PER LINE?

3 A. BellSouth takes the call usage, multiplies it by the average number of
 4 features per line times the averaged cost of the resources used in the
 5 switch for a given category to generate the composite feature investment.
 6 The number of busy hour calls per feature category that are used up to
 7 make up the composite feature²³ is:

8 *****Begin Proprietary*****

| | | |
|------------|--------------------|--------------------|
| XXXXXXXXXX | XXXXXXXXXXXXXXXXXX | XXXXXXXXXXXXXXXXXX |
| XXXXXXXXXX | XXXXXXXXXXXXXXXXXX | XXXXXXXXXXXXXXXXXX |
| XXXXXXXXXX | XXXXXXXXXXXXXXXXXX | XXXXXXXXXXXXXXXXXX |
| XXXXXXXXXX | XXXXXXXXXXXXXXXXXX | XXXXXXXXXXXXXXXXXX |
| XXXXXXXXXX | XXXXXXXXXXXXXXXXXX | XXXXXXXXXXXXXXXXXX |

9 *****End Proprietary*****

10 BellSouth stated that "... it can be concluded that the typical user activates
 11 about 4.5 features *in the busy hour*."²⁴ However, according to BellSouth's
 12 SCIS inputs, originating and terminating calls only average less than
 13 *****Begin Proprietary*** xxx ***End Proprietary***** requiring more
 14 than ***** Begin Proprietary*** xxx ***End Proprietary***** features to
 15 be active on every originating and every terminating call.

²³ See BellSouth's response to POD #141, Attachment 1 included as Exhibit CEP-5.

²⁴ BellSouth's response to ATT Item #89, attached as Exhibit CEP-7.

1 Q. WHAT OTHER AVERAGE CUSTOMER USAGE DATA IS USED
2 BY BELLSOUTH?

3 A. BellSouth uses the estimates of holding times of five hardware
4 components to derive a simple average, rather than a weighted average,
5 holding time for all hardware. BellSouth mixes holding times for different
6 types of announcements with holding times of conference circuits with no
7 regard to whether there are more announcements of one type versus
8 another announcement type, or the number of conference circuits
9 compared to announcements in the network. As in the case of the busy
10 hour call averages, BellSouth's broad generalizations and use of the
11 simple arithmetic average produces inaccurate inputs that will result in
12 inaccurate cost results.

13 We were not able to correct these input problems for two reasons: [1] we
14 do not have accurate call usage data; and [2] even if did have it,
15 BellSouth's SST model methodology requires only one call usage input
16 per feature category. We know of no legitimate method of averaging
17 together such disparate inputs without making many more additional error-
18 prone assumptions.

- 1 **Q. THE THIRD TYPE OF INPUT BELLSOUTH STATES IS KEY TO**
2 **FEATURE COSTS IS PROCESSOR REALTIME. PLEASE**
3 **EXPLAIN WHAT PROCESSOR REALTIMES ARE AND HOW**
4 **BELLSOUTH USED THE PROCESSOR REALTIMES.**
- 5 A. Processor realtimes are the individual measurements of central and/or
6 distributed processor time it takes to activate or use a feature. The
7 processor-related costs are 13% of BellSouth's claimed feature costs,
8 second only to the hardware costs. One of the incorrect simplifying
9 assumptions that BellSouth makes is that every feature uses the exact same
10 processing time – in fact, it assumes that each feature uses the same
11 processing time as one regular call set-up.
- 12 BellSouth also assumes that the processor is used in the same way for both
13 the DMS switch and the 5E switch. The Lucent switch has distributed
14 processors that perform the bulk of the feature call processing (which
15 BellSouth's model includes as an additional and separate cost item) and
16 only rarely does the 5ESS central processor become involved in a feature.
17 BellSouth, however, assigns a central processor regular call-setup to each
18 feature for both the Nortel switch and the Lucent switch, even though the
19 Lucent switch's central processor doesn't get involved with most features.
20 Assigning costs that do not exist clearly violates cost causation principles.
- 21 Most importantly, BellSouth's presumption that features, because they use
22 the processor, must pay for the processor is misguided. The processor
23 must be purchased for basic call processing and is part of the switch's first

1 cost – adding features do not cause BellSouth to purchase additional
2 processing equipment. The processor, along with the rest of the getting
3 started cost of the switch is a fixed cost and feature usage does not impact
4 the level of getting started investment. Historically, analog and earlier
5 digital switches could be call processing limited, but this is no longer true
6 with the dramatic increases in computer processing power.²⁵ The limiting
7 capacity of the current generation of switches is ports, not call processing.
8 When a switch's port capacity is reached, an additional switch must be
9 placed, thus incurring an additional getting started cost. A cost study,
10 based on true cost-causation, would allocate the processor and getting
11 started cost to all the ports in the switch, not the traffic sensitive minute of
12 use and feature costs.

13 **Q. WHAT IS THE SWITCH ELEMENT CENTREX**
14 **FUNCTIONALITY?**

15 **A.** BellSouth's Centrex functionality feature costs out intra-Centrex intercom
16 usage and assigns it as a flat-rate port additive.

²⁵ In fact, BellSouth's inputs to SCIS/MO show less than *****Begin Proprietary***
xxx ***End Proprietary***** average processor utilization, including features.
Features that simply add usage to a processor that will not exhaust has no economic
processor-related cost.

1 Q. WHAT IS WRONG WITH FLAT-RATING THE CENTREX
2 USAGE?

3 A. It is our understanding that all ALEC UNE-P lines generate UNE MOU
4 switch charges for every minute the line uses. BellSouth's separate and
5 additional Centrex intercom usage feature would, therefore, be a double
6 count and result in double recovery. This element should be set to 0.

7 Q. HAVE YOU IDENTIFIED OTHER ERRORS?

8 A. Yes. BellSouth's example for charging a line path to a feature is incorrect.
9 The SST Methodology documentation (Appendix D-76) states:

10 "Some of the features also tie-up an additional call path.
11 For example, a three-way call invokes another call path in
12 addition to the one established with the original call."

13 The SST developers either misunderstand the 3-way call functionality or
14 confuse the interactions between total feature costs and existing charging
15 schemes. The problems in BellSouth's 3-way calling example can best be
16 understood by example. Assume that Subscriber A lives in Tallahassee,
17 Subscriber B lives in Atlanta and Subscriber C lives in San Francisco.²⁶
18 When Subscriber A calls Subscriber B, a standard call is made and minute
19 of use charges are incurred. When Subscriber A invokes 3-way calling
20 and makes a second call to Subscriber C a second line path is not used by

²⁶ The following example works whether the calls are local, intraLATA toll, or interLATA toll because the ALEC will be charged UNE MOU charges regardless of the jurisdiction of the call.

1 Subscriber A (after all there is only one line path between the switch and
2 the end user). The role of the 3-port conference circuit (invoked via a
3 switch-hook flash) is to put the first call on “hold” in the switch and
4 Subscriber A re-uses its one and only path to dial Subscriber C. It is
5 important to note that the re-use of the path is being “paid for” by the first
6 call, which is still incurring MOU charges as if the entire call path were
7 being used. The second call is made from Subscriber A to Subscriber C
8 and minute of use charges are now incurred for the second call while the
9 minute of use charges are still in effect for the first call. In fact, the re-use
10 of the line path during the second call is recovered twice in the existing
11 charging schemes – once from the original call and a second time by the
12 second call.²⁷ There is no incremental line path to be charged as part of the
13 3-way feature cost that isn’t already recovered via the two calls’ charges.

14 **Q. WHAT DO YOU RECOMMEND REGARDING THE LINE PATH**
15 **COSTS FOR FEATURES?**

16 **A.** The Line Path cost category accounted for only 2% of BellSouth’s claimed
17 composite feature cost. As described above, BellSouth’s explanation for
18 including line path costs is flawed and therefore does not adequately
19 support these claimed costs. Mr. King’s restated feature cost excludes the
20 cost of line paths.

²⁷ The rest of the second call (the trunk port and facility usage, etc. are incremental and are appropriately recovered via the second call charges).

1 Q. WHAT PROBLEMS DID YOU FIND WITH RESPECT TO
2 CALLER ID AND REMOTE CALL FORWARDING?

3 A. One of the key inputs to these features is the percent penetration of Caller
4 ID (for the CLASS Modem Card hardware cost) and Remote Call
5 Forwarding (for assignment of a second line port). BellSouth's support
6 for these penetration levels provided in BellSouth's response to POD Item
7 33 and its Attachment 1 (attached as Exhibit CEP-8) uses the number of
8 lines per office in order to develop the penetration of Caller ID (shown as
9 Calling Number Delivery -CND on BellSouth's POD) and lines that are
10 remotely call forwarded. BellSouth's SCIS inputs show different average
11 office line counts than what BellSouth used in its separate analysis
12 documented in POD Item #33 for these two features as shown below:

13 ***Begin Proprietary***

14 xxxxxxxxxxxxxxxxxxxx

| | | |
|----------------------|----------------------|----------------------|
| xxxxxxxxxxxxxxxxxxxx | xxxxxxxxxxxxxxxxxxxx | xxxxxxxxxxxxxxxxxxxx |
| xxxxxxxxxxxxxxxxxxxx | xxxxxxxxxxxxxxxxxxxx | xxxxxxxxxxxxxxxxxxxx |
| xxxxxxxxxxxxxxxxxxxx | xxxxxxxxxxxxxxxxxxxx | xxxxxxxxxxxxxxxxxxxx |
| xxxxxxxxxxxxxxxxxxxx | xxxxxxxxxxxxxxxxxxxx | xxxxxxxxxxxxxxxxxxxx |

15

16 ***End Proprietary*** Replacing the POD Item #33 line counts causes
17 with the SCIS line counts results in penetrations of ***Begin
18 Proprietary*** xxxxxxxxxxxx ***End Proprietary*** for Caller ID
19 and RCF, respectively. These corrections are reflected in Mr. King's
20 restated costs.

1 Q. PLEASE STATE YOUR CONCLUSIONS REGARDING
2 BELLSOUTH'S FEATURE COST PORTION OF THE SST-U
3 WORKBOOK.

4 A. BellSouth has not met its burden of proof to document and support its
5 costs for features. There are problems with inputs, assumptions and
6 methodology throughout BellSouth's feature cost study. BellSouth's
7 feature cost model and its costs should be rejected.

8 **8. SUMMARY AND CONCLUSION**

9 Q. PLEASE SUMMARIZE YOUR FINDINGS.

10 A. BellSouth's use of melded discounts that presume that a majority of lines
11 of a reconstructed network are purchased at the higher growth prices
12 produced inflated switch UNE costs. The new switch discounts that
13 BellSouth used for the getting started equipment should be used
14 throughout the switch study.

15 Critical investment and capacity problems in the feature hardware study
16 cause seriously overstate feature costs.

17 The overly simplistic averaging of widely disparate (and often wrong)
18 inputs just to arrive at one feature category input cannot produce accurate
19 results.

20 Miscellaneous feature costing errors were corrected as described
21 previously and have been incorporated into the restated costs in Mr.

1 King's testimony. Some other errors (such as call usage inputs and
2 BellSouth's flawed premise that features cause incremental costs in the
3 fixed getting started equipment of the switch) cannot be corrected within
4 the confines of BellSouth's model.

5 **Q. PLEASE STATE YOUR CONCLUSION.**

6 A. The Simplified Switching Tool BellSouth developed to produce switch
7 element investments has too many errors, generalizations and
8 methodological faults and should be rejected. The following alternative
9 methodology is recommended:

- 10 1. Obtain the line and trunk port costs from SCIS/MO, using the correct
11 new switch discounts.
- 12 2. Allocate the total Getting Started Cost of the switch, from SCIS/MO
13 using the correct new switch discounts, to all ports.
- 14 3. Divide the trunk port cost from SCIS/MO using the correct new switch
15 discounts, by the minutes per trunk to produce the investment per
16 trunk MOU.²⁸
- 17 4. The remainder of the total switch investment (after subtracting out the
18 above items) from SCIS/MO using the new switch discounts, is the

²⁸ Use the same methodology to derive the tandem trunk port MOU cost.

1 traffic sensitive cost. Divide this total investment (augmented by the
2 corrected feature hardware costs) by total minutes to calculate the
3 investment per end office switch MOU.²⁹

4 The above simplified methodology uses Florida-specific investments
5 assigned to UNE elements using accurate, cost-causation principles. It
6 accounts for the full cost of forward-looking switches, maintains cost-
7 causation relationships, and eliminates the error-prone feature cost inputs,
8 assumptions and methodologies found in BellSouth's SST model.

9 Should this Commission not reject the SST Model for the reasons detailed
10 above, then the switch UNE restated costs in Mr. King's testimony,
11 reflecting the corrections to the investments proposed here, should be
12 adopted.

13 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

14 **A. Yes.**

²⁹ Use the same methodology (without feature hardware) to derive the tandem switch MOU cost.

1 **1. INTRODUCTION**

2 **Q. PLEASE STATE YOUR NAME, PRESENT POSITION AND**
3 **BUSINESS ADDRESS.**

4 **A. My name is Catherine E. Pitts. I am a District Manager with AT&T in**
5 **Law and Government Affairs, 295 North Maple Avenue, Basking Ridge,**
6 **New Jersey.**

7 **Q. ARE YOU THE SAME CATHERINE PITTS THAT FILED**
8 **REBUTTAL TESTIMONY IN THIS PROCEEDING?**

9 **A. Yes, I filed rebuttal testimony on July 31, 2000.**

10 **2. PURPOSE AND SUMMARY OF TESTIMONY**

11 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

12 **A. The purpose of my testimony is to report my findings regarding**
13 **BellSouth's revised switch cost study filed on August 16, 2000.**

14 **Q. PLEASE SUMMARIZE THE MAIN POINTS OF YOUR**
15 **TESTIMONY.**

16 **A. BellSouth's revised study uses a new version of SCIS/MO (2.6.1b) that**
17 **purportedly fixes errors in the SCIS model, but many errors in BellSouth's**
18 **overall switch cost study remain. BellSouth essentially has produced an**
19 **entirely new cost study with every number changed, but the switch**
20 **element cost results have only changed minimally in all cases but three.**

21 BellSouth's revised cost studies do not correct the hardware errors
22 or other feature cost errors identified in my Rebuttal Testimony and

1 BellSouth continues to use inappropriate melded discount inputs that are
2 heavily biased in favor of high growth line pricing.

3 The criticism regarding an SCIS/MO ISDN error that was raised in my
4 Rebuttal Testimony apparently has been corrected in the new SCIS/MO
5 patch release used by BellSouth in the revised cost study. The SCIS/MO
6 error, however, was not the only error impacting ISDN costs.

7 BellSouth corrected one mathematical error in the feature hardware study
8 that reduced the Composite feature port additive by 6.59%, but did not
9 correct any of the other hardware study errors pointed out in my Rebuttal
10 Testimony.

11 BellSouth has introduced a new element that uses switch costs –
12 P.3.2. 2-wire DID Port for Combinations. BellSouth uses an inappropriate
13 discount for this new element that causes the cost to be overstated.

14 Mr. King's cost restatement contained in his Rebuttal Testimony is
15 still valid for switch-related costs.

16 **3. BELLSOUTH'S REVISED STUDY HAS MINIMAL IMPACTS ON**
17 **MOST SWITCH-RELATED COSTS**

18 **Q. WHAT DO YOU CONSIDER "MINIMAL"?**

19 **A.** I am using the word minimal to describe changes less than 2.3%.

1 **Q. WHAT SWITCH ELEMENTS WERE IMPACTED MORE THAN**
2 **2.3%?**

3 A. BellSouth's revised 2-wire ISDN Port (B.1.5) and its related 2-wire ISDN
4 Line Side Port Combination (P.4.2.) have increased 6.92% and 7.86%,
5 respectively.

6 A third element, Features per Port (B.4.13) decreased 6.59%.

7 **Q. WHY DID THE ISDN LINE PORTS INCREASE?**

8 A. Apparently, BellSouth knew of the ISDN error and had tried to incorporate
9 its own correction into the SST model. When the SCIS/MO patch was
10 run, it produced higher numbers than BellSouth's estimated original filing.

11 **Q. WHY DID THE FEATURES PER PORT ELEMENT DECREASE?**

12 A. BellSouth made one mathematical correction to its hardware study to
13 apply a discount to the Call Waiting Tone investment.

14 **Q. ARE BELLSOUTH'S REVISED SWITCH-RELATED ELEMENTS**
15 **NOW CORRECT?**

16 A. No. BellSouth's revised study uses a melded discount that assumes only
17 45% of line purchases from 1999 through 2002 will be for "new" lines and
18 55% of the purchases will be at the higher-priced growth. BellSouth uses
19 only 3 years of demand, rather than the entire demand associated with the
20 switching element. This inappropriate assumption allows BellSouth to

1 calculate a much higher percentage of BellSouth's total lines in Florida at
2 higher, growth switch prices.¹

3 BellSouth's new switch element, 2-Wire DID Port for
4 Combinations (P.3.2) in the revised study uses the inappropriate melded
5 discount error described above (as do all the switch-related elements).

6 **Q. DID BELLSOUTH CORRECT THE CENTREX FUNCTIONALITY**
7 **ELEMENT (B.4.10)?**

8 A. No. BellSouth's revised cost statement continues to show an \$.8903 cost
9 which is incorrect as explained in my Rebuttal Testimony.

10 **Q. DID BELLSOUTH CORRECT THE FEATURES PER PORT**
11 **ELEMENT (B.4.13)?**

12 A. No. BellSouth's revised cost statement corrected only one mathematical
13 error that was already accounted for in Mr. King's restatement. The
14 remaining errors outlined in the Rebuttal Testimony were not corrected.

¹ Note, however, that AT&T/WorldCom do not recommend the use of any melded discount; rather, as stated in Rebuttal Testimony, a new switch discount should be used to approximate the cost an efficient provider would incur in a competitive market.

1 **4. THE RESTATED SWITCH-RELATED COSTS IN MR. KING'S**
2 **REBUTTAL TESTIMONY ARE CORRECT**

3 **Q. PLEASE EXPLAIN WHY MR. KING'S RESTATED PORT AND**
4 **MINUTE OF USE (MOU) COSTS ARE STILL VALID.**

5 A. BellSouth's use of the corrected SCIS/MO program resulted in a small
6 increase in the ISDN 2-wire port (B.1.5) costs. This small increase was
7 seen in AT&T/WorldCom's analysis as well when we removed the wire
8 centers that seemed to be calculated incorrectly. AT&T/WorldCom's
9 revisions to BellSouth's SST-P and SST-U models already accounted for
10 this increase. Our restated costs declined because of the dominant impact
11 of the discount input correction.

12 The switch portions of the other port and MOU elements (B.1.1-
13 B.1.4 and B.1.6-B.1.7 and C.1.1-C.2.2) were only minimally impacted
14 downward by the changes BellSouth made in its revised cost study. It is
15 unclear why these costs declined, but most declined less than one percent.²
16 Given the extremely small changes in the SCIS/MO results, even if
17 AT&T/WorldCom recomputed the corrections to BellSouth's costs, the
18 differences from Mr. King's restated costs would be insignificant.

² At the time of this testimony's preparation, there were problems getting BellSouth's new SCIS patch program to run. AT&T/WorldCom may file additional supplemental testimony, if necessary, when it has the opportunity to review the SCIS/MO program and its results that support BellSouth's revised switch study.

1 **Q. PLEASE EXPLAIN WHY THE FEATURE ELEMENT RESTATED**
2 **COSTS ARE CORRECT IN MR. KING’S RESTATED COSTS.**

3 A. The Centrex Functionality Element should have been set to 0 as shown in
4 Mr. King’s restatement. The error associated with this element is
5 associated with methodology, as outlined in Rebuttal Testimony, rather
6 than calculation errors or SCIS/MO errors. Our proposed 0 cost for this
7 rate element is independent of Bellsouth’s revised cost study that
8 implements SCIS/MO corrections.

9 Although BellSouth did reduce its Features per Port element 6.59%
10 by correcting a simple spreadsheet arithmetic error, that error was not
11 contained in Mr. King’s restatement and therefore no adjustment needs to
12 be made to AT&T/WorldCom’s restated costs. The Rebuttal Testimony
13 included Proprietary Exhibit CEP4 that shows discounts were calculated
14 correctly. Mr. King’s restated costs are correct as described in Rebuttal
15 Testimony.

16 **Q. PLEASE DESCRIBE HOW THE NEW 2-WIRE DID PORT FOR**
17 **COMBINATIONS NEEDS TO BE CORRECTED.**

18 A. Based on the information I have now, I would propose to reduce the 2 wire
19 DID Port for combinations rate by the same percentage³ as the 2-wire DID

³ From Mr. King’s Exhibit JAK-1, page 6 for Element B.1.3: $(\$9.60 - \$3.58)/\$9.60 = 63\%$

Reducing the \$9.36 for the new P.3.2 element in Bellsouth’s revised cost study by 63% produces a Revised Recurring Cost of $\$9.36 * (1 - .63) = \3.46 .

1 Port (B.1.3), resulting in a proposed restated cost of \$3.46. My
2 recommendation may need to be revised once we have had an opportunity
3 to more thoroughly review and run the revised cost studies filed by
4 BellSouth.

5 **5. SUMMARY AND CONCLUSION**

6 **Q. PLEASE SUMMARIZE YOUR FINDINGS.**

7 A. BellSouth's revised cost study, although using new SCIS/MO inputs, has
8 minimal impact on most of the switch element costs and only a small
9 impact on three others.

10 BellSouth's revised cost study makes only one ISDN adjustment,
11 but does not make any of the changes required that are documented in
12 Rebuttal Testimony, the most critical being:

13 The use of melded discounts that presume a majority of
14 BellSouth's lines are purchased at higher growth prices.

15
16 Investment, capacity and utilization problems in the feature
17 hardware study cause seriously overstated feature costs.

18 **Q. PLEASE STATE YOUR CONCLUSION.**

19 A. BellSouth's revised switch element cost study does not correct even the
20 most basic errors highlighted in Rebuttal Testimony. In addition,
21 AT&T/WorldCom's restated costs already accounted for the few errors
22 that BellSouth's revised study did correct and so Mr. King's restated costs
23 are valid in the face of Bellsouth's revised study.

1 BellSouth's revised cost study did not correct the underlying cost
2 methodology concerns such as incorrect aggregation and costing of
3 features into categories, nor the misallocation of fixed costs to traffic
4 sensitive elements. As these errors were not fixed, AT&T/WorldCom
5 continues to propose to use BellSouth's corrected SCIS/MO results using
6 an alternate allocation methodology that more accurately reflects true cost
7 causation as described in Rebuttal Testimony.

8 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

9 A. Yes.

1 MR. SELF: The next witness on behalf of AT&T
2 and MCI WorldCom is Greg Darnell. Mr. Darnell has revised
3 rebuttal testimony which is dated September 12, 2000, that
4 consists of 18 pages. There are -- there is one
5 correction to that testimony. We need to strike some of
6 the testimony. He's going to withdraw the testimony that
7 appears beginning at Page 9, Line 22, and he will strike
8 Page 9, Line 22 through 25. And then on Page 10,
9 Lines 1 through 6. And with those corrections, we would
10 ask that Mr. Darnell's testimony be admitted into the
11 record as though read.

12 CHAIRMAN DEASON: Is that the rebuttal and
13 revised rebuttal?

14 MR. SELF: That's just the revised rebuttal.

15 CHAIRMAN DEASON: Just the revised rebuttal.
16 Very well. Without objection, that testimony shall be
17 inserted into the record.

18 MR. SELF: And then there are some exhibits
19 associated with Mr. Darnell's testimony. There's one
20 confidential exhibit which has been identified as GJD-8.
21 If we could make that a separate exhibit, Mr. Chairman.

22 CHAIRMAN DEASON: Yes, that will be Exhibit 131.

23 (Exhibit 131 marked for identification.)

24 MR. SELF: And then we have some nonconfidential
25 exhibits which have been identified as GJD-1 through 7 and

1 10 through 11. And if we could identify those as the next
2 exhibit.

3 CHAIRMAN DEASON: What happened with Exhibit 9?

4 MR. SELF: There is no Exhibit 9. That was
5 withdrawn because of GTE dropping out.

6 CHAIRMAN DEASON: Okay. The nonconfidential
7 exhibits will be identified as Composite Exhibit 132.

8 (Exhibit 132 marked for identification.)

9 MR. SELF: And with that, Mr. Chairman, we would
10 ask that Exhibits 131 and 132 be admitted.

11 CHAIRMAN DEASON: Without objection, they shall
12 be admitted.

13 (Exhibits 131 and 132 admitted into the record.)

14 MR. SELF: Thank you. That's all for the
15 stipulated witnesses for AT&T and WorldCom.

16

17

18

19

20

21

22

23

24

25

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 A. My name is Greg Darnell, and my business address is 6 Concourse
3 Parkway, Suite 3200, Atlanta, Georgia, 30328.

4 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

5 A. I am employed by MCI WorldCom, Inc. as Regional Senior Manager --
6 Public Policy.

7 **Q. HAVE YOU PREVIOUSLY TESTIFIED?**

8 A. Yes, I have testified in proceedings before regulatory commissions in
9 Alabama, California, Florida, Georgia, Kentucky, Louisiana, Mississippi,
10 North Carolina, South Carolina and Tennessee and on numerous occasions
11 have filed comments before the FCC. Provided as Exhibit GJD-11 to this
12 testimony is a summary of my academic and professional qualifications.

13 **Q. ON WHOSE BEHALF ARE YOU TESTIFYING IN THIS**
14 **PROCEEDING AND FOR WHAT PURPOSE?**

15 A. I am testifying on behalf of MCI WorldCom, Inc. and AT&T
16 Communications of the Southern States, Inc. The purpose of this
17 testimony is to address BellSouth's proposed Expenses and Common Cost
18 (issue 7 (t) and 7(u)) that are used in the development of its UNE rates and
19 the appropriate method for determining deaveraged UNE rates (issue 2(a)).

20

1 **I. EXPENSE AND COMMON COST**

2 **Q. ARE BELLSOUTH'S EXPENSE AND COMMON COST FACTORS**
3 **IMPORTANT?**

4 A. Yes. As proposed in this proceeding, BellSouth's Expense and Common
5 Cost Factors account for approximately 32.75% of the 2-wire analog UNE
6 loop rate.

7 **Q. IF THE FLORIDA PSC PERMITS BELLSOUTH TO USE**
8 **EXCESSIVE EXPENSE AND COMMON COST FACTORS, WHAT**
9 **WILL BE THE IMPACT OF SUCH ACTION?**

10 A. Residential local competition, like what has occurred in New York and
11 Texas, will not develop in Florida. If residential local competition is
12 desired in Florida, the Commission does not have the luxury of making
13 compromises on the inputs used to develop UNE rates. Florida is a very
14 large market and as such should be very attractive to many ALECs. Thus,
15 it is reasonable to ask why residential local competition has not flourished
16 in Florida. The primary reason is simple: current BellSouth UNE rates are
17 too high.

18 The current local retail rates in Florida do not afford this
19 Commission the luxury of compromising when deciding UNE rates. This
20 means, if Florida wants UNE-based local competition, similar to what is
21 occurring in New York and Texas, it has to set all inputs at forward-
22 looking economic cost and not "split the baby" on the input issues.

23

1 **Q. WHAT EVIDENCE IS THERE THAT SUGGESTS THAT THE**
2 **EXPENSE AND COMMON COST FACTORS PROPOSED DO**
3 **NOT REFLECT BELL SOUTH'S FORWARD-LOOKING COST?**

4 A. The evidence currently available that suggests that BellSouth's expense and
5 common cost factors are excessive is as follows: 1) BellSouth fails to
6 eliminate all retail expense from its UNE rates; 2) The Productivity Factor
7 BellSouth used to forecast its expenses is too low; 3) BellSouth's proposal
8 would double recover Land, Building and Power expense; 4) Prior Factors
9 filed by BellSouth indicate that lower plant specific expenses should exist;
10 and 5) Trends in Corporate Operations Expense indicate that Common Costs
11 should be declining.

12 **Q. DOES BELL SOUTH'S COST MODEL REMOVE ALL RETAIL**
13 **COST FROM WHOLESALE RATES?**

14 A. No. BellSouth claims to have removed all retail expense from its
15 calculations. Walter Reid states in his testimony, "[R]etail cost including
16 marketing, billing, collection and other costs that will be avoided" by
17 BellSouth have been directly assigned to the retail function and as such
18 "are excluded from the calculation of UNE Cost."¹ BellSouth conducts an
19 avoided cost study to eliminate retail cost from its UNE rates. In this
20 proceeding, BellSouth calculates that \$1,426,416,105 of retail expense
21 exists in Uniform System of Accounts (USOA) 6611, 6612, 6613 and
22 6623 and eliminates this expense from its forward-looking cost

¹ Testimony of Walter Reid, Before the Florida Public Service Commission, Docket No. 990649-TP, filed May 1, 2000, p. 4 ("Reid Testimony").

1 projections.²

2 **Q. HOW MUCH AVOIDED RETAIL EXPENSE DID WALTER REID**
3 **CALCULATE IN THIS COMMISSION'S PREVIOUS UNE**
4 **PROCEEDING?**

5 A. Walter Reid previously determined that \$1,926,591,887 of retail cost
6 should be eliminated from UNE rates.³

7 **Q. HAS BELLSOUTH TRULY REDUCED ITS RETAIL EXPENSE BY**
8 **ONE HALF BILLION DOLLARS (\$500 MILLION) IN THE LAST**
9 **THREE YEARS, OR IS THE REDUCTION IN AVOIDED RETAIL**
10 **EXPENSE CONTRIVED THROUGH DIFFERENCES IN COST**
11 **MODELING ASSUMPTIONS?**

12 A. Contrary to the results of BellSouth's updated avoided retail cost
13 calculations, BellSouth's amount of retail expense has grown significantly
14 as a percent of revenue and in absolute terms over the time period for
15 which these cost studies are based. Thus, it is clear that BellSouth's \$500
16 million reduction in the amount of avoided retail expense is contrived
17 through differences in cost modeling assumptions.

18 **Q. IS THE METHODOLOGY USED BY BELLSOUTH IN THIS**
19 **PROCEEDING TO DETERMINE THE AMOUNT OF AVOIDED**
20 **RETAIL EXPENSE CORRECT?**

² See BellSouth Cost Calculator, Appendix F, 6611SC00.xls, 6612SC00.xls, 6613SC00.xls and 6623SC00.xls.

³ See, Rebuttal Testimony of Walter S. Reid, on Behalf of BellSouth Telecommunications, Inc., Rebuttal Exhibit WSR-6, page 1, line 6, filed December 9, 1997. For ease of reference, Exhibit GJD-1 contains a copy of this Walter Reid rebuttal testimony exhibit.

1 A. No. BellSouth's methodology calculates an amount of directly avoidable
2 retail expense that is contained in Uniform System of Accounts (USOA)
3 6611, 6612, 6613 and 6623 and eliminates this expense from its forward-
4 looking cost projections. However, BellSouth fails to recognize that retail
5 expense also exists in other USOAs. This Commission determined in
6 Docket No. 960833-TP that retail expense also exists in USOA 6120, 6710
7 and 6720. This Commission determined that the retail cost contained in
8 Accounts 6120, 6710 and 6720 should be determined "based on the ratio
9 of the costs we identified as directly avoided to total expenses".⁴ Retail
10 costs contained in these accounts have been referred to as indirectly
11 avoided retail cost.

12 **Q. WHAT IS INDIRECTLY AVOIDED RETAIL COST AND WHY IS**
13 **IT APPROPRIATE TO INCLUDE THESE COSTS AS WELL IN**
14 **THE CALCULATION OF TOTAL RETAIL COST?**

15 A. It has been determined that if direct cost accounts are reduced, costs
16 contained in overhead and support accounts will also be reduced. For
17 example, if a company has a smaller product line (i.e. wholesale only) it
18 will need a smaller executive staff, smaller planning staff, smaller legal
19 staff, smaller accounting group and fewer support facilities. Therefore,
20 when retail costs are eliminated from Product Management (6611), Sales
21 (6612), Product Advertising (6613) and Customer Services (6623), it is
22 appropriate to reduce the expense in Executive and Planning (6710),
23 General and Administrative (6720) and General Support (6120).

⁴ Florida Public Service Commission, Final Order on Arbitration, Order No. PSC-96-1579-FOF-TP, December 31, 1996, page 56.

1 Q. USING THIS COMMISSION'S METHODOLOGY TO
2 DETERMINE RETAIL EXPENSE, HOW MUCH ADDITIONAL
3 RETAIL EXPENSE SHOULD BE ELIMINATED FROM
4 BELLSOUTH'S PROPOSED UNE RATES TO ACCOUNT FOR
5 INDIRECTLY AVOIDED RETAIL COSTS?

6 A. Assuming the new direct retail avoided cost study that BellSouth has
7 provided in this proceeding is correct, which I believe is an erroneous and
8 overly generous assumption, \$223,376,929 of additional retail expense
9 contained in Accounts 6120, 6710 and 6720 should be eliminated from
10 BellSouth's proposed UNE rates.⁵ This will bring the total retail expense
11 to be eliminated from the expense projections that are used to develop
12 BellSouth's UNE rates to \$1,649,793,034. This amount of retail expense
13 is still \$276,798,853 below the amount of retail expense that BellSouth
14 witness Walter Reid determined in Docket No. 960833-TP.

15 Q. HOW DID BELLSOUTH USE ITS HISTORICAL EXPENSES TO
16 FORECAST FORWARD-LOOKING EXPENSES?

17 A. BellSouth took its booked total company regulatory 1998 expenses, and
18 adjusted them for out of period occurrences, increased them for expected
19 inflation, increased them for anticipated additional expense caused by
20 increased demand, and then decreased them for projected productivity
21 gains to project year 2000 through year 2002 test period expense levels.
22 BellSouth then took the projected year 2000 through 2002 expense levels,
23 averaged them, and compared them to adjusted 1998 data to determine

⁵ See, Attached Exhibit GJD-2 for the calculations that went in to determining this indirectly avoided retail cost amount.

1 expense development factors.

2 **Q. WHAT PRODUCTIVITY FACTOR DID BELLSOUTH USE TO**
3 **FORECAST ITS EXPENSE?**

4 A. BellSouth used a 3.1% total productivity factor taken from a United States
5 Telephone Association (USTA) study that was filed with the FCC. This
6 USTA study has not been adopted by the FCC. MCI WorldCom submitted
7 reply Comments on January 24, 2000 with the FCC in CC Docket No. 94-1
8 and addressed the deficiencies of the USTA study.⁶ In these Reply
9 Comments MCI WorldCom noted that the reasonable range of LEC
10 productivity is between 9.1 and 9.5%. However, due to the FCC's decision
11 in the CALLS proceeding, a new FCC productivity factor has not been
12 established. The FCC's current approved total productivity factor for
13 BellSouth is 6.5%. (47 C.F.R. §61.45) Given that the FCC's currently
14 effective 6.5% productivity factor has been subject to in depth analysis and
15 debate from both BellSouth and ALECs, there is no reason for this
16 Commission to undertake an effort to set a Florida state specific productivity
17 factor. The Florida Commission should require BellSouth to use the a
18 productivity factor in its expense forecasts that is no less the FCC's 6.5%
19 productivity factor.

20 **Q. WHAT IMPACT WOULD A 6.5% PRODUCTIVITY FACTOR**
21 **HAVE ON BELLSOUTH'S EXPENSE FORECASTS?**

⁶ See, Reply Comments of MCI WorldCom, Inc., Before the Federal Communications Commission, In the Matter of Price Cap Performance Review for Local Exchange Carriers, CC Docket 94-1, Access Charge Reform, CC Docket No. 96-262, filed January 24, 2000.

- 1 A. The use of a 6.5% productivity factor will change the projected expense for
2 the 2000-2002 test period contained in BellSouth's Appendix F, Excel
3 Spreadsheet EXPDVF00.xls, and this would result in a change to the
4 expense development factors used in the Shared and Common Cost
5 Application of BellSouth's Cost Calculator. When these new inputs are run
6 through BellSouth's Cost Calculator, new Shared and Common Cost
7 Factors result. Exhibit GJD-3 contains the revised expense development
8 factors and the revised Shared and Common Cost factors that would be
9 created by the use of the FCC's 6.5% productivity factor.
- 10 **Q. WOULD THE USE OF AN INAPPROPRIATELY LOW**
11 **PRODUCTIVITY FACTOR TO FORECAST EXPENSE RESULT IN**
12 **UNE RATES THAT ARE NOT FORWARD LOOKING?**
- 13 A. Given how BellSouth's cost model works, yes. Further, the FCC's and
14 USTA's productivity factors are derived for expense and investment trend
15 analysis. Forward-looking UNE pricing should only concern itself with the
16 result of the trend. As such, the use of a productivity factor based on a trend
17 analysis, such as the FCC's, may tend to overstate forward-looking cost.
- 18 **Q. IS THERE EVIDENCE THAT BELLSOUTH HAS PROPOSED UNE**
19 **RATES THAT DOUBLE RECOVER LAND, BUILDING AND**
20 **POWER EXPENSE?**
- 21 A. Yes. However, exactly how much double recovery is being proposed has
22 not yet been reconciled. Reconciliation of the accounts and the
23 methodology for applying common and shared costs, is paramount to our
24 verification of the inputs of BellSouth's model. To date, BellSouth has not
25 provided the necessary information for this to be accomplished. However,

1 BellSouth has provided enough information, in its responses to AT&T
2 Interrogatory numbers 28, 29, 30, 32 & 35 to demonstrate that there may be
3 a problem, attached as Exhibit GJD-10. For example, BellSouth was asked
4 what adjustments were made to several common cost components, and its
5 rationale for said adjustments, prior to its application to the study.
6 BellSouth responded that there were no adjustments. In addition, BellSouth
7 has not quantified the projected revenues over the study period that will have
8 a positive effect on the common costs. So, at this time, the level of
9 adjustments necessary to reconcile the common cost amounts to be used in
10 the study cannot be determined. Simply put, BellSouth has the opportunity
11 to double recover some of its costs unless the appropriate adjustments have
12 been made.

13 For example, BellSouth is currently receiving revenues from its
14 Collocation rate elements for power consumption and building floor space.
15 Unless the Land & Building accounts and the Central Office Power amounts
16 are adjusted to reflect the positive effect of this revenue, the expense amount
17 applied to the other rate elements will be overstated. This is very similar to
18 pole rental revenue. If BellSouth is renting or leasing out part of its building
19 space, the costs that are offset by the lease should be deducted from the
20 account before apportioning the Land & Building costs to other rate
21 elements.

22 ~~Similarly, BellSouth has competitive services utilizing its Corporate~~
23 ~~Communications network. These competitive services are providing a~~
24 ~~revenue contribution to the accounts that capture the expenses of its~~
25 ~~Corporate Communications network. Part of the cost of providing operator~~

1 ~~services includes the Corporate Communications facilities to transport the~~
2 ~~calls between various locations. Additionally, the rate elements for (SS7)~~
3 ~~signaling specifically include cost for transport that utilizes Corporate~~
4 ~~Communications facilities. These are other opportunities for over recovery~~
5 ~~if adjustments are not made to the accounts prior to the expense being~~
6 ~~applied to the UNEs.~~

7 **Q. ARE THERE ANY OTHER REASONS YOU SUSPECT**
8 **BELLSOUTH HAS OVERSTATED EXPENSE AND NOT MADE**
9 **ALL OF THE APPROPRIATE ADJUSTMENTS?**

10 A. Yes. Exhibit GJD-4 contains an analysis of the BellSouth plant specific
11 expense factors proposed in this cases as compared to plant specific expense
12 factors BellSouth has proposed at the FCC in 1997 and 1998. As is clearly
13 seen, BellSouth has proposed higher plant specific expense factors in this
14 proceeding than it proposed to the FCC in 1997 and 1998. Given the overall
15 trend that expense as a percent of investment is declining, expense factors
16 today should be lower, not higher than they were a couple years ago.

17

18 **Q. WHAT IMPACT WOULD BELLSOUTH'S FCC PLANT SPECIFIC**
19 **EXPENSE FACTORS HAVE ON UNE RATES?**

20 A. BellSouth's FCC plant specific expense factors would cause the total
21 monthly cost, before taxes and common cost application, for a 2-wire loop
22 to decrease by \$0.29. Exhibit GJD-5 demonstrates the calculations used to
23 make this determination.

24 **Q. CAN BELLSOUTH'S BOOKS OF ACCOUNT BE USED AS A**
25 **STARTING POINT FOR DETERMINING FORWARD-LOOKING**

1 **EXPENSE?**

2 A. Yes, BellSouth's books of account can be used as a starting point for
3 determining forward-looking expense. However, the task of adjusting
4 booked expenses to approximate forward-looking expense is not an exact
5 science. Trend analysis can provide some useful information. While trend
6 analysis can provide information on whether expenses are increasing or
7 decreasing as a percent of investment or revenue, trend analysis cannot tell
8 you how much longer a trend will continue or if a new trend is just
9 beginning. Further, different companies may be at different points of a
10 trend. What makes this problematic is that forward-looking cost
11 development should not be concerned with the trend but the final result of
12 the trend. Exhibit GJD-6 is a trend analysis done on all USOAs using the
13 FCC's ARMIS 43-03 report for BellSouth for the Commission's review.

14 Much has been made about the automation trend of both network
15 operations and administration. Generally speaking, automation substitutes
16 investment for expense. The cost of maintaining historical equipment and
17 out-of-date practices must be fully eliminated from the expense and shared
18 and common cost ratios being applied to investment that creates the UNE
19 rates in order for the resulting rates to be based on forward-looking cost.

20 **Q. HAS THE COMMISSION PREVIOUSLY DECIDED WHAT**
21 **BELLSOUTH'S COMMON COST FACTOR SHOULD BE?**

22 A. Yes. The Commission decided in Docket Nos. 960757-TP, 960833-TP
23 and 960646-TP that BellSouth's Common Cost factor should be 5.30%.
24 BellSouth now claims as a result of this Commission's decision issued
25 April 29, 1998 it needs to revise its previous calculations to shift recovery

1 of some of its shared costs from non-recurring rates to recurring rates.⁷ If
2 this is true, it begs the question of why this was not done two years ago.
3 This aside, BellSouth has not demonstrated a need or provided any
4 compelling reason for this Commission to increase the 5.30% BellSouth
5 Common Cost factor it previously determined.

6 **Q. DO YOU HAVE ANY OTHER EVIDENCE THAT SUGGESTS**
7 **BELLSOUTH'S PREVIOUSLY APPROVED 5.30% COMMON**
8 **COST FACTOR SHOULD BE REDUCED?**

9 A. Yes. As can be seen on Exhibit GJD-7, BellSouth Corporate Operations
10 Expense as a percent of revenue has been declining. Most notably, since
11 BellSouth has been given a real competitive reason to closely manage its
12 Corporate Overhead expense (i.e. since the Telecommunications Act of
13 1996 and the establishment of FCC Local Competition rules in August of
14 1996), Corporate Operations Expense has declined at a faster rate.
15 Corporate Operations Expense is a primary contributor to the Common
16 Cost factor. As such, the fact that Corporate Operations expense has
17 declined significantly even since 1998 (i.e. the vintage of the data
18 BellSouth used as the root of its analysis), is evidence that BellSouth's
19 Common Cost factor should be reduced, not increased.

20 **II. DEAVERAGED UNE RATES**

21 **Q. WHAT RULES ARE THERE CONCERNING HOW UNE RATES**
22 **SHOULD BE DEAVERAGED?**

23 A. All UNE rates, averaged and deaveraged, must adhere to the general

⁷ Reid Testimony, p. 4.

1 pricing standards covered in 47 C.F.R. Section 51.503 and the forward-
2 looking economic cost standards covered in 47 C.F.R. Section 51.505.
3 Further, in accordance with 47 C.F.R. Section 51.507(f), UNE rates must
4 be deaveraged “in at least three defined geographic areas within the state
5 to reflect geographic cost differences.”

6 **Q. AS A RESULT OF THESE RULES, WHAT CAN BE USED TO**
7 **DETERMINE DEAVERAGED UNE RATES?**

8 A. The only item that can be considered in determining deaveraged UNE
9 rates is the forward-looking economic cost (FLEC) differences caused by
10 different geographic areas. This is because, assuming the average UNE
11 rate is cost based, if something other than FLEC is used to deaverage the
12 existing rate, the resulting deaveraged rates will no longer be cost based.

13 For example, if we used the percentage of tourists by city to
14 deaverage existing UNE rates, the resulting deaveraged UNE rates in
15 Orlando would be higher than the rates in Tallahassee. Given that the
16 percentage of tourists has no direct influence over the cost of
17 telecommunications, the resulting deaveraged rates would not be cost
18 based.

19 I use the noticeably peculiar example of tourists to illustrate a
20 point. However, the same result would hold true (i.e. non-cost based
21 deaveraged UNE rates), if something telecommunication related but not
22 telecommunication cost related is used to deaverage existing UNE rates.
23 For example, if BellSouth’s retail rates - which even BellSouth admits are
24 not cost based- were used to deaverage existing UNE rates, the resulting
25 deaveraged UNE rates would likewise not be cost based.

1 Q. HOW DOES BELLSOUTH PROPOSE TO DEAVERAGE
2 EXISTING UNE RATES?

3 A. By grouping together wire centers by rate group and then determining the
4 average cost of wire centers that have the same retail rates.

5 Q. WHY DO MCI WORLDCOM AND AT&T OPPOSE
6 BELLSOUTH'S PROPOSAL TO DEAVERAGE UNE RATES BY
7 RATE GROUP?

8 A. MCI WorldCom and AT&T believe that deaveraged UNE rates must
9 reflect the relative forward-looking cost differences of the UNEs between
10 geographic areas. BellSouth's proposal to deaverage UNE rates through
11 the use of the average cost of wire centers that have the same retail cost is
12 a violation of FCC rules and the Act. BellSouth's proposal to create non-
13 cost based deaveraged UNE rates will send incorrect economic signals to
14 the marketplace. Further, BellSouth's proposal to create the geographic
15 zones by rate group is a thinly veiled attempt to insulate its retail rates
16 from cost based competition.

17 Q. HOW DOES BELLSOUTH'S PROPOSAL TO USE ITS RATE
18 GROUPS TO ESTABLISH DEAVERAGED UNE RATES
19 INSULATE ITS RETAIL RATES FROM COST BASED
20 COMPETITION?

21 A. By first grouping wire centers together by rate group, BellSouth's
22 deaveraging methodology inappropriately raises the UNE rates where its
23 retail rates are high. This means that where BellSouth's retail rates are
24 high, its deaveraging methodology would ensure that the wholesale rates
25 (i.e. UNE rates) available to ALECs are inappropriately increased.

1 BellSouth takes all the wire centers that serve areas in certain rate groups
2 and lumps all of them together in one basket or zone. For example,
3 BellSouth's methodology would take all of the wire centers that serve
4 areas that correspond to its rate groups 7 & 6 (i.e. its highest retail rates)
5 and group all of these wire centers into zone 1. BellSouth then develops
6 an average loop cost for all of the wire centers that serve those rate groups.

7 However, wire centers in rate groups 7 & 6 often are made up by both
8 low cost wire centers and high cost wire centers. By placing low cost
9 wire centers and high cost wire centers in the same zone, the weighted
10 average cost of each zone is inappropriately skewed. Although Al Varner
11 states that BellSouth's rate group to zone mapping "provides consistency
12 between the structure of BellSouth's retail, resale and UNE rates,"⁸ the
13 goal of this Commission should not be to make UNE rates consistent with
14 non-cost based pricing or to protect BellSouth's non-cost based retail rate
15 structure. Rather, the goal of this Commission should be to let
16 competition drive retail rates toward their underlying cost and allow
17 competition to eliminate the inefficiencies caused by non-cost based
18 pricing.

19 BellSouth's deaveraging proposal results in higher than cost based
20 deaveraged UNE rates that insulate BellSouth's non-cost based high retail
21 rates in low cost areas from cost based UNE based local competition. This
22 Commission should not protect BellSouth from cost based competition
23 and should reject BellSouth's deaveraging proposal.

⁸ Al Varner Direct Testimony, p. 22, line 13-14.

1 **Q. DOES BELLSOUTH'S PROPOSAL COMPLY WITH 47 C.F.R.**
2 **51.503?**

3 A. No. 47 C.F.R. 51-503 requires that BellSouth's Unbundled Network
4 Element prices be based on forward-looking economic cost. This rule
5 applies to averaged and deaveraged rates of both individual UNEs and
6 combination of UNEs. BellSouth's retail rate groups are not currently
7 based on forward- looking economic cost. Therefore, BellSouth's
8 proposal to deaverage UNE rates using its current rate groups as the basis
9 for categorization would violate 51.503 because it does not result in
10 forward-looking economic cost-based, deaveraged UNE rates.

11 **Q. DOES BELLSOUTH'S PROPOSAL COMPLY WITH 47**
12 **C.F.R.51.505(d)?**

13 A. No. 47 C.F.R. 51.505(d) states that the revenues of other services cannot
14 be considered in the development of a UNE rate. BellSouth's proposal
15 violates 51.505(d) by considering the revenues of its retail services in the
16 development of its deaveraged UNE rates.

17 **Q. HAVE YOU REVIEWED SPRINT'S UNE DEAVERAGING**
18 **PROPOSAL?**

19 A. Yes.

20 **Q. WHAT IS SPRINT'S UNE DEAVERAGING PROPOSAL?**

21 A. SPRINT's deaveraged UNE proposal is as follows:

22 rates should be deaveraged to the degree necessary to
23 achieve a result wherein the averaged rate does not deviate
24 significantly from the actual forward-looking cost of
25 providing that element anywhere within the defined zone.

1 While it is impossible to quantify with absolute precision
2 what “significant” deviations of rates from costs are,
3 SPRINT believes that differences between rates and costs
4 in excess of 20% would be of sufficient magnitude to
5 potentially distort competitors’ investment decisions.
6 Using that criteria, each incumbent LEC should be required
7 to construct a deaveraged rate schedule such that the
8 average rate in each zone is no more than 20% higher or
9 20% less than the forward-looking cost of providing that
10 element.⁹

11 **Q. HOW IS SPRINT’S DEAVERAGING METHODOLOGY BETTER**
12 **THAN BELLSOUTH’S OR, FOR THAT MATTER, THE**
13 **METHODOLOGY THAT YOU PREVIOUSLY ADVOCATED?**

14 A. SPRINT’s proposal can be objectively and equally imposed on all ILECs.
15 Further, SPRINT’s proposal achieves the proper deaveraging goal, which
16 is to group areas with similar cost characteristics into the same UNE rate
17 zones. As such, SPRINT’s deaveraging methodology would be easy for
18 the Commission to administer and also achieves the proper deaveraging
19 goal.

20 I have been involved in deaveraged UNE proceedings and/or
21 negotiations in all of the states in the BellSouth region, and SPRINT’s
22 UNE deaveraging methodology is superior to anything that I have
23 reviewed thus far. SPRINT’s methodology sets a sure and concrete

⁹ Direct Testimony of James W. Sichter, p. 15, lines 9-23.

1 standard (+ or - 20%) that can be objectively and equally applied to all
2 ILECs. This would provide the Commission with a means to quickly
3 make rate determinations and administer rules in the future. Further, the
4 establishment of a fixed cost deviation criteria places wire centers with
5 similar cost characteristics in the same zone.

6 **Q. DOES SPRINT'S DEAVERAGING PROPOSAL COMPLY WITH**
7 **FCC RULES?**

8 A. Yes.

9 **Q. WHAT ARE MCI WORLDCOM'S AND AT&T'S**
10 **RECOMMENDATIONS?**

11 A. MCI WorldCom and AT&T recommend that SPRINT's deaveraged UNE
12 cost methodology be applied to average UNE loop cost by wire center
13 determined in this proceeding for BellSouth.

14 **Q. HAVE YOU DONE THIS ANALYSIS?**

15 A. Yes, Exhibit GJD-8 provides the zone weighting percentages for BellSouth
16 using SPRINT's deaveraging methodology. These zone weighting
17 percentages can be applied to the average UNE rate to determine the
18 deaveraged rate for each zone. Also, the list of wire centers in each zone is
19 included in Exhibit GJD-8.

20 **Q. DOES THIS CONCLUDE YOUR PREFILED REBUTTAL**
21 **TESTIMONY?**

22 A. Yes.

1 CHAIRMAN DEASON: Next witness.

2 MR. LAMOUREUX: AT&T and WorldCom call as our
3 next witness Ms. Brenda Kahn. And I don't believe
4 Ms. Kahn was here the first day, so I don't believe she's
5 been sworn in yet.

6 CHAIRMAN DEASON: Okay.

7 MR. LAMOUREUX: Or am I wrong about that?

8 MS. KAHN: I was, sir.

9 MR. LAMOUREUX: I was wrong about that.

10 CHAIRMAN DEASON: I thought I saw her sitting in
11 the back the whole time.

12 MR. LAMOUREUX: Okay.

13 BRENDA KAHN

14 was called as a witness on behalf of AT&T of the Southern
15 States, Inc. and MCI WorldCom and, having been duly sworn,
16 testified as follows:

17 DIRECT EXAMINATION

18 BY MR. LAMOUREUX:

19 Q Ms. Kahn, did you cause to be prepared and filed
20 rebuttal testimony dated July 31, 2000, consisting of 25
21 pages and including the revised Page 24 that was served on
22 September 12, 2000?

23 A Yes, I did.

24 MR. LAMOUREUX: Mr. Chairman, for the record,
25 there are some pages also in Ms. Kahn's testimony that

1 contain BellSouth claimed confidential information; in
2 particular, 12, 13, 16, 17, 19, 20, 22, and 23. And
3 again, we have some red folders for you that contain the
4 confidential version of the testimony, if you'd like it.
5 And again, we filed a public version of the testimony as
6 well as a proprietary version.

7 CHAIRMAN DEASON: Very well.

8 BY MR. LAMOUREUX:

9 Q Do you have any changes or corrections to your
10 testimony?

11 A No, I do not.

12 Q If I asked you the same questions today as are
13 contained in your testimony, would your answers be the
14 same?

15 A Yes.

16 MR. LAMOUREUX: Mr. Chairman, I would ask that
17 Ms. Kahn's rebuttal testimony -- I should be careful --
18 Dr. Kahn's testimony be inserted in the record as though
19 read.

20 CHAIRMAN DEASON: Without objection, it shall be
21 so inserted.

22 MR. LAMOUREUX: And should we assign a separate
23 exhibit number for the confidential pages of her
24 testimony?

25 CHAIRMAN DEASON: Yes, Exhibit 133.

1 (Exhibit 133 marked for identification.)

2 BY MR. LAMOUREUX:

3 Q Now, associated with your rebuttal testimony,
4 did you prepare and cause to be filed Exhibits BK-1 and
5 BK-2?

6 A Yes, I did.

7 Q Do you have any changes or corrections to your
8 exhibits?

9 A No, I do not.

10 MR. LAMOUREUX: Mr. Chairman, I would request
11 that BK-1 and BK-2 be marked as Exhibit 134.

12 (Exhibit 134 marked for identification.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND
2 PRESENT POSITION.

3 A. My name is Brenda J. Kahn. I am employed by AT&T
4 as District Manager, Connectivity Cost, Price and
5 Planning Division in the Local Services and
6 Access Management organization. My business
7 address is 900 Routes 202/206, Bedminster, New
8 Jersey.

9
10 Q. ON WHOSE BEHALF ARE YOU TESTIFYING IN THIS
11 PROCEEDING AND FOR WHAT PURPOSE?

12
13 A. I am testifying on behalf of AT&T Communications
14 of the Southern States, Inc. and MCI WorldCom,
15 Inc.

16
17 Q. WHAT IS YOUR EDUCATIONAL AND PROFESSIONAL
18 BACKGROUND?

19
20 A. I have two Economics degrees, a Bachelor of Arts
21 in 1969 from Queens College and a Ph.D. in 1978
22 from Columbia University. I have published an
23 article in the Journal of Regulatory Economics
24 entitled " The Effects of Regulation and
25 Competition on the Price of AT&T Intrastate

1 Telephone Service." I have also published an
2 article entitled "The Impact of IntraLATA
3 Competition on Local Exchange Company Prices" in
4 a book entitled "Economic Innovations in Public
5 Utility Regulation." I am also a member of the
6 steering committee for the Rutgers University
7 Advanced Workshop in Regulation and Public
8 Utility Economics and have been a regular
9 presenter and discussant at academic regulatory
10 conferences.

11
12

Q. PLEASE DESCRIBE YOUR WORK EXPERIENCE AT AT&T.

13 A. From August 1978 to June 1982, I was employed as
14 a Staff Manager in the WATS Rate Planning Group
15 responsible for the development, implementation
16 and support of quantitative studies used to
17 support interstate and intrastate tariff filings.
18 I joined the Strategic Pricing and Decision
19 Support Group in the Marketing Department of AT&T
20 in November 1982, and was responsible for
21 developing and supporting demand analysis models
22 for AT&T Switched Network services. In October
23 1983, I joined the Marketing Plans Implementation
24 Group where I had revenue and demand forecasting
25 responsibilities for existing and new services.

1 In May 1989, I joined State Government Affairs
2 and was responsible for access charge and
3 regulatory reform analysis of the intrastate
4 telecommunications markets in New York and New
5 England states. In January 1993, I joined Access
6 Management and was responsible for interstate and
7 intrastate access charge management with
8 particular emphasis on local exchange companies
9 in the Northeast Region. In January 1996 I was
10 promoted to District Manager in the Local
11 Services Division where I was responsible for
12 supervising a group which analyzed the costs of
13 local exchange service. The group has expertise
14 in the HAI Model (including former versions of
15 the Hatfield Model), the Benchmark Cost Proxy
16 Model and other local exchange cost models and
17 methods that have been developed. In my current
18 position, I supervise a group responsible for
19 minimizing the leased costs incurred to offer
20 AT&T local services.

21

1 Q. HAVE YOU APPEARED BEFORE STATE REGULATORY
2 AGENCIES?

3 A. Yes. I have appeared on rate, cost and access
4 charge matters in Louisiana, Maine, Maryland,
5 Massachusetts, Mississippi, Missouri, Nevada, New
6 York, Tennessee and Vermont proceedings.

7
8 Q. PLEASE DESCRIBE THE IMPORTANCE OF SETTING SUB-
9 LOOP RECURRING AND INTERCONNECTION RATES
10 PROPERLY.

11 A. Rates must be set properly in order to ensure
12 facilities-based competition will occur. This
13 goal is highlighted in the following statements
14 from the FCC's UNE Remand Order¹ regarding subloop
15 unbundling, which encompasses the intrabuilding
16 network cable and network terminating wire
17 elements in the BellSouth filing, along with
18 several others.²

19
20 Paragraph 205 states, "We find that the lack of
21 access to unbundled subloops materially

¹ Third Report and Order and Fourth Further Notice of Proposed Rulemaking, released 11/5/1999, FCC 99-238

² Third Report at paragraph 206.

1 diminishes a requesting carrier's ability to
2 provide service that it seeks to offer. We also
3 conclude that access to subloop elements is
4 likely to be the catalyst that will allow
5 competitors, over time, to deploy their own
6 complementary subloop facilities, and eventually
7 to develop competitive loops." Paragraph 216
8 specifically mentions multi-dwelling units,
9 saying that, "In particular, a facilities-based
10 provider's ability to offer service in a multi-
11 unit building or campus may be severely impaired
12 if it must install duplicative inside wiring."
13 Also, at paragraph 219, the FCC states that,
14 "Access to unbundled subloop elements allows
15 competitive LECS to self provision part of the
16 loop, and thus, over time, to deploy their own
17 loop facilities, and eventually to develop
18 competitive loops. If requesting carriers can
19 reduce their reliance on the incumbent by
20 interconnecting their own facilities closer to
21 the customer, their ability to provide service
22 using their own facilities will be greatly
23 enhanced, thereby furthering the goal of the 1996
24 Act to promote facilities-based competition."

1

2 As demonstrated below, BellSouth's claimed cost
3 for Intrabuilding Network Cable and Network
4 Terminating Wire elements exceed forward-looking
5 economic costs and otherwise conflict with the
6 FCC's UNE Remand Order. Accordingly, BellSouth's
7 cost proposals should be rejected.

8

9 Q. PLEASE DESCRIBE INTRABUILDING NETWORK CABLE
10 (INC).

11 A. Intrabuilding Network Cable, as described by
12 BellSouth and alternatively known as riser cable,
13 represents "the distribution facility inside a
14 subscriber's building or between buildings on one
15 customer's same premises. INC will include the
16 facility from the cross connect device in the
17 building equipment room up to and including the
18 end-user's point of demarcation." Apparently
19 BellSouth plans to install a 25 pair cross
20 connect panel near BellSouth's cross-connect
21 device on which the riser cable will be accessed.
22 BellSouth technicians will interconnect ALEC

1 facilities at this cross connect panel to
2 BellSouth's riser cable.

3

4 Q. PLEASE DESCRIBE NETWORK TERMINATING WIRE.

5 A. Network terminating wire is copper wiring that is
6 used to extend circuits from a building entrance
7 terminal to an individual customer's point of
8 demarcation. Access to network terminating wire
9 was previously addressed in an arbitration
10 proceeding between MediaOne Florida
11 Telecommunications, Inc. and BellSouth (Order No.
12 PSC-99-2009-FOF-TP in Docket 990149-TP).

13

14 Q. WHAT IS BELLSOUTH'S PROPOSED RECURRING CHARGE FOR
15 2-WIRE INTRABUILDING NETWORK CABLE?

16 A. BellSouth proposes to charge a monthly recurring
17 rate of \$3.90 for 2-wire Intrabuilding Network
18 Cable. This charge represents 22% of the charge
19 BellSouth proposes for the entire 2-wire loop,
20 even though intrabuilding network cable accounts
21 for only a hundred or so feet of a loop that on
22 average extends for thousands of feet.

1 Q. WHAT IS BELLSOUTH'S PROPOSED RECURRING CHARGE FOR
2 4-WIRE INTRABUILDING NETWORK CABLE?

3 A. BellSouth proposes to charge a monthly recurring
4 rate of \$7.38 for 4-wire Intrabuilding Network
5 Cable.

6

7 Q. DO YOU AGREE WITH BELLSOUTH'S PROPOSED CHARGES
8 FOR 2-WIRE AND 4-WIRE INTRABUILDING NETWORK
9 CABLE?

10 A. No. The proposed charges conflict with the
11 recent FCC UNE Remand Order and should be
12 rejected. The proposal assumes that BellSouth
13 will install a 25 pair cross connect panel in the
14 building equipment room in order to provide a
15 designated interconnection location for riser
16 cable and also to provide a test point for
17 service surveillance and maintenance. In
18 addition, BellSouth will require cross
19 connections from this panel to BellSouth's
20 existing cross connect device already located in
21 the building equipment room. This additional
22 terminal is shown as point II.A (or point II.B)
23 in Exhibit BK-1.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

The proposed requirement to build an additional panel flatly conflicts with the FCC's UNE Remand order that calls for a single point of interconnection. "Although we do not amend our rules governing the demarcation point in the context of this proceeding, we agree that the availability of a single point of interconnection will promote competition. To the extent there is not currently a single point of interconnection that can be feasibly accessed by a requesting carrier, we encourage parties to cooperate in any configuration of the network necessary to create one. If parties are unable to negotiate a reconfigured single-point of interconnection at multi-unit premises, we require the incumbent to construct a single point of interconnection that will be fully accessible and suitable for use by multiple carriers." [Emphasis added]. FCC's UNE Remand Order, at ¶226.

BellSouth's proposal, in contrast, calls for additional equipment to be built and paid for by ALECs, while continuing to allow BellSouth to maintain a direct connection to the existing

1 basement terminals. Such an approach is not
2 competitively neutral and does not satisfy the
3 FCC requirement for a single point of
4 interconnection. Exhibit BK-2 provides a diagram
5 depicting a single point of interconnection in a
6 building equipment room that is competitively
7 neutral and does satisfy the FCC requirement for
8 a single point of interconnection. The diagram
9 in Exhibit BK-2 represents the appropriate INC
10 elements that BellSouth should have used when
11 establishing a monthly recurring price for
12 intrabuilding network cable.

13

14 Q. DID THE FLORIDA COMMISSION PREVIOUSLY ADDRESS THE
15 ISSUE OF A SINGLE POINT OF INTERCONNECTION FOR
16 SUB-LOOP UNBUNDLING?

17 A. Yes, on October 14, 1999 (Order No. PSC-99-2009-
18 FOF-TP in Docket 990149-TP) and prior to the
19 FCC's order, the Florida Commission concluded
20 that network security and control problems
21 associated with a single point of interconnection
22 were too daunting a challenge for them to approve
23 at that time.

1

2 Q. DID THE GEORGIA COMMISSION ADDRESS THE ISSUE OF A
3 SINGLE POINT OF INTERCONNECTION FOR SUB-LOOP
4 UNBUNDLING?

5 A. Yes, on December 28, 1999 (Order in Docket No.
6 10418-U) and after the FCC's order, the Georgia
7 Commission concluded that there were appropriate
8 procedures that could be implemented that
9 adequately addressed network security and control
10 problems associated with a single point of
11 interconnection. The Georgia Commission
12 concluded that an ALEC may use its own
13 technicians to perform the interconnections as
14 long as the ALEC assumed the full liability for
15 its actions and for any adverse consequences that
16 could result.

17

18 Q. DO YOU SUPPORT THE NOTION OF FULL INDEMNIFICATION
19 FOR ADVERSE CONSEQUENCES ASSOCIATED WITH THE
20 ACTIONS OF ALEC TECHNICIANS?

21 A. In principle, we would support such a notion.

22

1 Q. HOW DOES BELLSOUTH ARRIVE AT THEIR PROPOSED COST
2 FOR 2-WIRE INC?

3
4 In the BellSouth cost study, three elements are
5 identified that cause BellSouth to incur material
6 investment of ***BEGIN PROPRIETARY XXXXXXXX END
7 PROPRIETARY*** per pair to provide 2-Wire INC.
8 This amount consists of: Intrabuilding network
9 cable investment of ***BEGIN PROPRIETARY XXXXXXXX
10 END PROPRIETARY*** is incurred for the riser
11 cable material; investment in building entrance
12 terminals of ***BEGIN PROPRIETARY XXXXXXXX END
13 PROPRIETARY***; and investment in building
14 distribution terminals of ***BEGIN PROPRIETARY
15 XXXXXXXX END PROPRIETARY***.

16
17
18 BellSouth takes the material investments totaling
19 ***BEGIN PROPRIETARY XXXXXXXX END PROPRIETARY***
20 from the BSTLM and grosses it up to ***BEGIN
21 PROPRIETARY XXXXXXXX END PROPRIETARY*** to
22 account for inflation and installation.
23 BellSouth then applies an annualized expense to

1 investment factor of ***BEGIN PROPRIETARY XXXXXXXX
2 END PROPRIETARY*** in establishing a monthly
3 recurring volume insensitive 2-Wire INC charge of
4 ***BEGIN PROPRIETARY XXXXXXXX END PROPRIETARY***
5 per pair. This is added to the volume sensitive
6 charge of \$0.4591 to arrive at a total 2-Wire INC
7 Charge of \$3.90 per pair.

8

9 Q. DO YOU AGREE WITH THE INVESTMENTS THAT BELLSOUTH
10 HAS DEVELOPED FOR THE 2-WIRE INC COST?

11

12 A. In principle, we agree that intrabuilding network
13 cable investment is incurred. However, the
14 investment calculated by BellSouth is overstated
15 by at least ***BEGIN PROPRIETARY XXXXXXXX END
16 PROPRIETARY***

17

18 Q. WHAT IS YOUR BASIS FOR THIS AMOUNT?

19

20 A. I used restated investments developed by Mr.
21 Pitkin and Mr. Donovan for Field Codes 12c and
22 52c. The rationale for their investment
23 restatement is described in their testimony.

24

1 Q. IS THIS THE FULL EXTENT OF BELLSOUTH'S OVERSTATED
2 INVESTMENT?

3
4 A. No. Even though we believe BellSouth's costing
5 approach drastically overstates the costs for
6 building terminals, we cannot adjust BellSouth's
7 investment in building entrance terminals and
8 building distribution terminals. The limited
9 documentation that BellSouth has provided
10 indicates that BellSouth includes two terminals
11 in the building equipment room. At this time we
12 can only guess whether Bell's existing terminal
13 is the building entrance terminal or the building
14 distribution terminal.

15
16 Q. WHAT WOULD YOU RECOMMEND BE DONE TO ELIMINATE ANY
17 ADDITIONAL EQUIPMENT AND CROSS CONNECTIONS THAT
18 BELLSOUTH IS PROPOSING TO CHARGE THE ALECS?

19 A. Our costing approach would correct BellSouth's
20 cost study by removing the investment associated
21 with additional equipment and cross connections
22 that BellSouth does not incur when it provided
23 access to riser cable for itself. As a matter of

1 policy, ALECs should be allowed to cross connect
2 directly to existing BellSouth basement terminal
3 equipment. We recognize that in some cases,
4 BellSouth may perform this function, although we
5 believe that ALEC technicians should be allowed
6 to perform the cross connections.

7
8 In order to actually implement the single point
9 of Interconnection approach, replacement
10 equipment or additional equipment may be
11 required. Whatever the physical solution,
12 additional charges could legitimately be included
13 in monthly recurring charges for INC to
14 accommodate the added functionality of being able
15 to interconnect multiple carriers at a single
16 point. This inclusion of additional costs does
17 not mean that we believe additional equipment is
18 required for ALECs to interconnect to BellSouth
19 in most cases, but is included only to account
20 for the possibility that additional equipment may
21 be required. This approach differs drastically
22 from BellSouth's costing approach under which
23 ALECs pay for fully duplicative, extremely
24 underutilized equipment in monthly recurring

1 rates, as well as pay for unneeded cross
2 connections by Bell technicians in non-recurring
3 rates.

4

5 Q. DESCRIBE WHAT ADJUSTMENTS YOU WOULD MAKE TO
6 BELLSOUTH'S 2-WIRE INTRABUILDING NETWORK CABLE
7 RECURRING COST STUDY, IF WE ASSUME THAT THE
8 BUILDING DISTRIBUTION TERMINAL INSTALLED
9 INVESTMENT OF *** BEGIN PROPRIETARY XXXXXXXX END
10 PROPRIETARY*** REPRESENTS THE COST OF THE FULLY
11 DUPLICATIVE AND UNDERUTILIZED EQUIPMENT YOU JUST
12 DESCRIBED.

13

14 A. First of all, we would remove the duplicative
15 investments for the building distribution
16 terminal. Secondly, we would use the investments
17 from the restated BSTLM run that Mr. Pitkin and
18 Mr. Donovan referenced in their testimony (pg 25)
19 that reflect installed material cost of building
20 entrance terminal and intrabuilding network
21 cable. This results in an installed investment
22 of ***BEGIN PROPRIETARY XXXXX END PROPRIETARY***
23 per pair, rather than the ***BEGIN PROPRIETARY

1 XXXXXXXXX END PROPRIETARY*** figure developed by
2 BellSouth. Next, we would apply a corrected
3 monthly expense factor of ***BEGIN PROPRIETARY
4 XXXXXXXXX END PROPRIETARY*** to the installed
5 investment.

6 This results in a monthly volume insensitive
7 economic cost of ***BEGIN PROPRIETARY XXXXX END
8 PROPRIETARY***. The final adjustment would be to
9 remove the subscriber line testing expense since
10 we believe that all testing would be done by the
11 ALEC. This would remove ***BEGIN PROPRIETARY
12 XXXXXXXXX END PROPRIETARY*** from the volume
13 sensitive NTW cost. The resulting 2-Wire INC
14 charge would be \$0.5661 per pair per month,
15 rather than the \$3.90 figure proposed by
16 BellSouth.

17

18 Q. HOW WOULD YOU ADJUST BELLSOUTH'S 4-WIRE
19 INTRABUILDING NETWORK CABLE STUDY?

20 A. I would use the same methodology as I did for the
21 2-wire INC adjustments. My proposed recurring
22 price for 4-wire INC is \$0.9691.

23

1 Q. DESCRIBE WHAT ADJUSTMENTS YOU WOULD MAKE TO
2 BELLSOUTH'S 2-WIRE AND 4-WIRE INTRABUILDING
3 NETWORK CABLE NON-RECURRING COST STUDIES.

4 A. BellSouth's non-recurring cost studies for 2-wire
5 and 4-wire intrabuilding network cable assume
6 that a BellSouth technician must connect and
7 perform a turn-up test for all cross connections
8 at a building equipment terminal including those
9 cross connections associated with ALEC customers.
10 This is unnecessary and duplicative. The ALEC
11 technician can make the connections and perform a
12 turn-up test just as readily as a BellSouth
13 technician. Therefore, all of the network
14 activities identified in BellSouth's non-
15 recurring cost study are eliminated. The only
16 non-recurring work activity still remaining is
17 associated with the service order for this UNE.
18 As described in Jeff King's testimony the
19 appropriate NRC for this service order is \$0.4316
20 for both 2-wire and 4-wire INC.

21

1 Q. WHAT IS THE PROPOSED MONTHLY RECURRING CHARGE FOR
2 NETWORK TERMINATING WIRE?

3 A. BellSouth proposes to charge a monthly recurring
4 rate of \$.4591 per pair for Network Terminating
5 Wire. This charge is comprised of ***BEGIN
6 PROPRIETARY XXXXXX END PROPRIETARY*** associated
7 with subscriber line testing expense and ***BEGIN
8 PROPRIETARY XXXXXX END PROPRIETARY*** of cable
9 expense.

10

11 Q. DID THE FLORIDA COMMISSION PREVIOUSLY APPROVE A
12 \$.60 CHARGE FOR NETWORK TERMINATING WIRE?

13 A. Yes, in the MediaOne arbitration with BellSouth,
14 a \$.60 monthly recurring charge was established.

15

16 Q. IS THE \$.4591 MONTHLY RECURRING CHARGE FOR NTW
17 REASONABLE?

18 A. We do not understand why the subscriber line
19 testing expense is reasonable when the ALEC
20 technicians will perform the testing. In
21 principle, it is appropriate to charge for the
22 network cable expense, but it is unclear whether
23 BellSouth applied appropriate depreciation lives,

1 cost of the capital, etc. BellSouth must
2 demonstrate that the appropriate forward looking
3 inputs were used to establish the network cable
4 costs and not fall back on embedded cost
5 analyses. Since these same charges are included
6 in the calculation of intrabuilding network
7 cable, the same concerns apply to INC charges as
8 well.

9

10 **Q. WHAT NON-RECURRING CHARGES DOES BELLSOUTH PROPOSE**
11 **FOR NETWORK TERMINATING WIRE?**

12 A. BellSouth is proposing a \$60.93 per pair non-
13 recurring charge. This charge is comprised of
14 several components. A charge of *****BEGIN**
15 **PROPRIETARY XXXXXXXX END PROPRIETARY***** for
16 garden terminals and cross connect panels and
17 cabling in a BellSouth wiring closet inside a
18 multi-tenant building that would be used
19 exclusively by ALECs is included. The remainder
20 of the charge is associated with labor costs to
21 support service inquiry and various network
22 connection activities.

23

1 Q. ARE THESE APPROPRIATE NON-RECURRING CHARGES FOR
2 NETWORK TERMINATING WIRE?

3 A. The only appropriate non-recurring charge for
4 network terminating wire that BellSouth has
5 identified is the charge associated with the
6 service ordering for this UNE function. This
7 charge is described in AT&T/MCI WorldCom witness
8 Jeff King's testimony and is \$0.4316.

9

10 Q. WHY IS THE NON-RECURRING CHARGE FOR ADDITIONAL
11 GARDEN TERMINALS AND CROSS CONNECT PANELS
12 INAPPROPRIATE?

13 A. The charge violates the FCC's requirement for a
14 single point of interconnection for use by
15 multiple carriers including BellSouth. In order
16 to actually implement the single point of
17 interconnection approach, replacement equipment
18 or additional equipment may be required.

19 Whatever the physical solution, additional
20 charges could legitimately be included in monthly
21 recurring charges for NTW for any replacement
22 garden terminals or cross connect panels inside
23 wiring closets to accommodate the added

1 functionality of being able to interconnect
2 multiple carriers at a single point. This
3 inclusion of additional costs does not mean that
4 we believe additional equipment is required for
5 ALECs to interconnect to BellSouth in most cases,
6 but is included only to account for the
7 possibility that additional equipment may be
8 required. This approach differs drastically from
9 BellSouth's costing approach under which ALECs
10 pay for fully duplicative, extremely
11 underutilized equipment in non-recurring rates of
12 ***BEGIN PROPRIETARY XXXXXXXX END PROPRIETARY***
13 for redundant garden terminals and cross connect
14 panels in wiring closets.

15

16 Q. WERE YOU ABLE TO QUANTIFY THE EXTENT OF THE
17 DUPLICATION IN ANY OF THIS EQUIPMENT?

18 A. Yes. BellSouth identified that a newly installed
19 100 pair garden terminal with less than 6 feet of
20 cross connecting cable would be about ***BEGIN
21 PROPRIETARY XXXX END PROPRIETARY***. If we
22 assume a fill factor of 56%, the per pair
23 investment for a 100 pair garden terminal becomes

1 *****BEGIN PROPRIETARY XXXXXXXXXXXXXXXXXXXXXXXXXXXX END**
2 **PROPRIETARY*****. The conversion of the investment
3 to a monthly recurring cost yields a monthly
4 recurring rate of \$0.1009.
5 BellSouth used a *****BEGIN PROPRIETARY XXXXXXXX END**
6 **PROPRIETARY***** investment cost for a garden
7 terminal and assumed that the fill factor would
8 be *****BEGIN PROPRIETARY XXX END PROPRIETARY*****.
9 Clearly the underutilization of investment is
10 built into the BellSouth non-recurring charge.
11 Moreover, BellSouth assumed that an additional
12 garden terminal would be constructed for the sole
13 use of ALECs rather than assuming that the garden
14 terminal would be shared by all. If the garden
15 terminal were to be shared by all, BellSouth
16 would have developed a monthly recurring charge.
17 This monthly recurring charge would be similar to
18 what BellSouth included for the garden terminal
19 in the establishment of a complete UNE loop.
20

1

2

3

4

5

6

7

8

9

10

11

12

13

14

Q. PLEASE SUMMARIZE YOUR TESTIMONY.

15

A. Proper pricing of sub-loops has been recognized

16

as a vital ingredient to spur competition. The

17

FCC has provided substantial guidance to the

18

states that was unavailable at the time the

19

Florida Commission established network

20

terminating wire prices. We have recommended

21

sub-loop unbundling methods and procedures that

22

the Florida Commission should adopt to bring the

1 benefits of competition to Florida consumers, be
2 they located in homes, garden apartments or high-
3 rise buildings. As a facility-based carrier that
4 plans to offer local telephony through its
5 Florida cable plant, AT&T is concerned that
6 network safety and reliability not be compromised
7 in a multi-carrier environment. Full
8 indemnification for careless actions is an
9 alternative and acceptable penalty to complete
10 denial of a carrier's rights to joint
11 interconnection.

12 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

13 A. Yes.

1 BY MR. LAMOUREUX:

2 Q Do you have a summary of your testimony?

3 A Yes, I do.

4 Q Would you give that now, please.

5 A Certainly. My name is Brenda Kahn. I'm an AT&T
6 District Manager providing national support for various
7 cost analyses associated with AT&T local market entry.

8 I'd like to say today that AT&T will be offering
9 residential local phone service in Florida using our cable
10 facilities that have been upgraded to provide telephony
11 service. AT&T has announced plans to have one-half
12 million such subscribers by year-end. If AT&T --

13 CHAIRMAN DEASON: Excuse me, year-end 2000?

14 THE WITNESS: By year-end 2000, yes. Not all of
15 them in Florida, obviously.

16 CHAIRMAN DEASON: Oh, I was going to say, that
17 was news to me.

18 A If AT&T is going to provide service to tenants
19 in multiple dwelling units, or MDUs, as I'll use that
20 term, AT&T often must rely on BellSouth to provide the
21 last hundred feet of cabling. AT&T has been in
22 negotiations with building owners of MDUs right here in
23 Florida in order to accomplish this goal. Building owners
24 have expressed their willingness to allow AT&T to compete
25 with BellSouth for residential local phone service. We

1 are here today to discuss prices and terms and conditions
2 that will promote such competition in multiple dwelling
3 units.

4 Starting with pricing, the BellSouth pricing for
5 the subloop UNE that we believe we are going to need the
6 intrabuilding network cabling, or INC, is excessively
7 high. BellSouth's proposed recurring charges are three to
8 seven times greater than Verizon has proposed to us in
9 New York, New Jersey, and Massachusetts.

10 BellSouth's nonrecurring charges for
11 cross-connect panels that can be purchased for \$5 -- and I
12 have such a panel that I will show you -- the charge that
13 BellSouth will require us to pay is over \$400.

14 Now, turning to the terms and conditions.
15 BellSouth has argued that AT&T's proposal promotes network
16 insecurity. BellSouth raised similar arguments about
17 central office collocation arrangements here in Florida.
18 And I remember in particular that BellSouth originally
19 wanted collocaters to be placed in wire mesh cages with
20 roofs. This was the only place I've ever seen anyone
21 request roofs on the tops of cages. This cage requirement
22 was eventually struck down by the FCC.

23 MS. WHITE: Chairman Deason?

24 CHAIRMAN DEASON: Yes.

25 MS. WHITE: I apologize, but I'm not finding any

1 of this in Ms. Kahn's testimony.

2 CHAIRMAN DEASON: Okay. You're objecting?

3 MS. WHITE: I'm objecting on that basis.

4 CHAIRMAN DEASON: Objection because this summary
5 exceeds the scope of the prefiled testimony.

6 MR. LAMOUREUX: Certainly the issue -- the issue
7 is within her testimony, the question of network security.
8 I don't know that the example that she just used is within
9 her testimony itself. The issue is contained there, and I
10 certainly feel that in her summary she can use an example
11 to illustrate that issue.

12 CHAIRMAN DEASON: No, she can't.

13 MR. LAMOUREUX: Okay.

14 CHAIRMAN DEASON: I'm going to restrict Dr. Kahn
15 to exactly -- summarizing exactly what was in your
16 prefiled testimony. Even if an example is outside your
17 prefiled testimony, don't cover it in your summary. It's
18 not a summary at that point.

19 A Okay. If BellSouth wants a higher level of
20 network security, then BellSouth should pay for it. I
21 would like now to turn to a three-dimensional depiction of
22 my Exhibit BK-1, and I have that in front of me. I would
23 ask that I be allowed to have Mr. Donovan help me to
24 display it.

25 CHAIRMAN DEASON: Very well.

1 A Thank you. In my Exhibit BK-1, I display the
2 types of equipment that would be found in the basement of
3 a high-rise building. And what this mockup demonstrates
4 are actually some of the equipment that would be found in
5 the basement, or in this case, we call it the wiring
6 closet, which would be the building in the basement where
7 these cross-connect devices would be found.

8 So I'd like to tie the Exhibit directly to these
9 depictions here. The top of the board depicts, if you
10 will, the house and riser cabling would be going up from
11 the top of the board. Coming in from the bottom -- or the
12 network distribution facilities on the left side of the
13 board are what's called the ILEC distribution facilities,
14 which on my Exhibit would be called the BellSouth network.

15 And this really shows the cable pairs that would
16 come in from the street and be connected at these terminal
17 blocks or cross-connect panels, as we've heard them. This
18 is a 25-pair cross-connect panel. There would be one for
19 BellSouth, and then as we move into residential local
20 phone competition, there would be one for, in this case,
21 since this was used by MediaOne in Florida previously,
22 it's called the MediaOne distribution network. And in my
23 exhibit, this would be depicted as ALEC networks. And the
24 ALEC networks also must terminate their distribution
25 facilities on one of these cross-connect panels.

1 Now, of course, the issue is, how do we get from
2 the wiring that comes from the street and on up into the
3 building? And currently as we've been speaking with
4 building owners, we discover that in many buildings
5 BellSouth has exclusive right to house and riser cabling,
6 either because they own it or they control it. So the
7 question then is, will we be allowed to directly connect
8 to the same block as BellSouth uses? And in my testimony,
9 I describe this as the single point of interconnection,
10 and I show that in my diagram in Exhibit BK-1 as the
11 basement terminals. These then are basement terminals.

12 Now, here, I only show one 25 pair. In the
13 diagram, we would have numerous such panels in the
14 basements depending upon how many tenants are in the
15 building. So as we show in this depiction, MediaOne and
16 AT&T always took the position that we should be allowed to
17 take our wiring directly to this terminal block from which
18 the house and riser cabling goes on up to the various
19 tenants. Now, what -- and we would do this -- do you have
20 the little tool -- we would do this with -- a technician
21 would go out with a tool as simple as this and would
22 actually take the wiring from our block and punch it on
23 down over to this BellSouth block.

24 Now, BellSouth has offered a different proposal.
25 They want to use an intermediate device. And the

1 intermediate device they suggest is here; it's being
2 called a BellSouth access cross-connect. The term we were
3 using with Mr. Lamoureux was an intermediate cross-connect
4 system. So basically instead of the wiring running
5 directly, what would happen is, our technician would punch
6 down here; the BellSouth technician would punch down on
7 this side. And we effectively have the same connection
8 eventually, but now it goes through an intermediate point
9 and actually has perhaps even more potential for network
10 insecurity, because now we have more cabling, more
11 devices, more opportunities for, now that the cable has
12 been broken twice, more probable problems.

13 COMMISSIONER JACOBS: How will your technician
14 coordinate with -- they will know which terminal in the
15 cross-connect there needs to be wired? Will they be -- do
16 it at the same time? How would that work?

17 THE WITNESS: What we would do, we need to
18 identify a spare pair on this.

19 COMMISSIONER JACOBS: Okay.

20 MS. WHITE: So before our technician would go
21 out there, we could call up BellSouth, and ask them, well,
22 tell me, since we understand this is all mechanized in an
23 inventory system, tell me where the spare pairs would be
24 on your cross-connect panels. We would not have to do
25 that at the time that our technician is sent out unless

1 they didn't have adequate information in their own
2 inventory, and that would be the same problem that their
3 own technician would face.

4 So there would not be a need for two technicians
5 to be running wiring to the access terminal, because our
6 technician could go out with that simple tool, and once he
7 knows what the appropriate terminal block -- terminal
8 strip is, he could just punch down at that point.

9 CHAIRMAN DEASON: Let me ask you one other
10 question. Now, if you are acquiring a customer which
11 currently is receiving service from BellSouth, will your
12 technician actually disconnect BellSouth's wire from the
13 frame in the upper -- my upper right and connect your wire
14 to facilitate that, or would BellSouth be required to
15 actually make the disconnect, or how would that work?

16 THE WITNESS: We would like our technician to do
17 it, but obviously we would contact BellSouth prior to our
18 technician going out and try to determine from BellSouth
19 if there are spare facilities that we could terminate to,
20 or whether we would actually have to use -- the customer
21 who wants to become the AT&T local customer would have to
22 use their existing terminal strip.

23 CHAIRMAN DEASON: Okay.

24 A And that concludes my summary.

25 MR. LAMOUREUX: Dr. Kahn is available for

1 cross-examination.

2 CHAIRMAN DEASON: Okay. I'm going to start at
3 my right and work back to my left. Any questions,
4 questions, questions? BellSouth.

5 MS. WHITE: Yes, thank you.

6 CROSS EXAMINATION

7 BY MS. WHITE:

8 Q Hi, Ms. Kahn, my name is Nancy White,
9 representing BellSouth Telecommunications. Now, I'd like
10 to start with the Exhibit that Mr. Donovan was holding.

11 MS. WHITE: Mr. Donovan, would you mind?

12 Q And I thought that looked familiar, Ms. Kahn.
13 Was that Exhibit used by MediaOne in their case in Docket
14 Number 990149 in Florida?

15 A Well, I've spoken to three MediaOne folks, and
16 they tell me it was.

17 Q Okay. And AT&T bought MediaOne; right?

18 A That's correct.

19 Q So I guess you inherited the Exhibit from them.

20 A Yes, I think so.

21 Q Let me ask you a question. You're showing one
22 pair here; right?

23 A I'm showing one panel.

24 Q One panel.

25 A Going up to the house and riser, is that --

1 Q Yes. But, for example, if this was a panel that
2 was actually in a high-rise building, would there be wires
3 over the panel?

4 A Would there be wires over the pair? Maybe you
5 could demonstrate.

6 Q I'm sorry, but would there be wires over the
7 width of it?

8 A There would be, as I understand Mr. Donovan
9 explaining it to me yesterday, some clip, I think was the
10 term that he used.

11 MS. WHITE: Thank you, Mr. Donovan.

12 Q So your testimony this afternoon is really
13 concerned with the issues of intrabuilding network cable
14 and network terminating wire; is that correct?

15 A Yes.

16 Q And you're familiar with BellSouth's proposal
17 that BellSouth will cable the facilities to an access
18 terminal, and through that access terminal, AT&T will get
19 access to the high-rise or the garden apartment complex?

20 A Yes.

21 Q And it's your position that BellSouth's proposal
22 is in conflict with the UNE Remand Order; is that correct?

23 A That's correct.

24 Q Okay. Now, the UNE Remand Order, let's talk
25 about that for a minute, and before you got on the stand,

1 I made sure you had a copy of that order with you. Would
2 you agree with me that the FCC and the UNE Remand Order,
3 and particularly it's in Paragraph 226, says that if the
4 parties can agree, the incumbent has to construct a single
5 point of interconnection fully accessible and suitable for
6 use by multiple carriers?

7 A Would I agree that's what it says in
8 Paragraph 226?

9 Q 226.

10 A Let me just get there.

11 Q Sure. It's near the end of the paragraph, I
12 believe.

13 A Yes, I see that in Paragraph 226.

14 Q Okay. And again, it says that if they can
15 agree, the incumbent has to construct this point of
16 interconnection. So would you agree that the phrase
17 "incumbent must construct" implies that it's something
18 that is not already in existence?

19 A Well, it may be in existence for BellSouth. The
20 issue, I guess, is, is it in existence for all the
21 carriers? And I think that's really the heart of the
22 matter.

23 Q But you will agree that the language says the
24 incumbent is required to construct something?

25 A Yes, if the parties cannot agree to do it.

1 Q And that this construction that is done has to
2 be suitable for use by multiple carriers; is that correct?

3 A Yes.

4 Q Where does it say in there that it has to be
5 suitable for use by all carriers?

6 A It doesn't. It talks about multiple carriers.

7 Q And it doesn't specify who those carriers to be,
8 whether it's an ALEC, or an ILEC, or anybody else;
9 correct?

10 A I've read a lot of these FCC orders, and if
11 there's a need to distinguish between ALEC and ILEC, I
12 have never seen a case where they have -- I'm sorry, I'm
13 speaking too quickly. I have never seen a case where they
14 have not done that.

15 Q Well, they did not do that here. They said
16 multiple carriers; isn't that correct?

17 A That's correct. And I interpret that to mean
18 multiple carriers, ILECs and ALECs.

19 Q You interpreted multiple carriers to mean that?

20 A I interpret carriers to mean that.

21 Q Now, BellSouth's proposed access terminal can be
22 accessed by multiple carriers, can it not?

23 A Yes, it can.

24 Q Now, in this UNE Remand Order, the FCC also said
25 that issues of technical feasibility of subloop unbundling

1 were best determined by the State Commission; is that
2 correct?

3 A In one part of the order, it did state that, but
4 there was another section of the same order that said if
5 one state were to find that it was technically feasible to
6 direct connect, that that should be considered strong
7 evidence by the other states that the other states could
8 also adopt the same proposal, and that there would be
9 additional burdens on the carriers to show that if one
10 state such as Georgia had determined direct connect was
11 appropriate, that the next state such as Florida should
12 look very carefully at the evidence that was offered as to
13 it not being technically feasible.

14 Q And that's fine, but the point I was trying to
15 make is that this is one instance where the FCC has said
16 the issue of technical feasibility is one for the
17 State Commission to make, not the FCC; isn't that correct?

18 A The FCC has learned to give guidance.

19 Q That's a very tactful way of putting it. Now,
20 the FCC acknowledges in this order that the Texas
21 Commission has decided that it will not allow subloop
22 unbundling at the feeder distribution interface because it
23 could threaten the integrity of the network; isn't that
24 correct?

25 A I'm not aware that the Texas Commission has done

1 that.

2 Q Well, would you agree that the FCC acknowledged
3 that? And I would point you to Paragraph 222 of the UNE
4 Remand Order, and I'm not saying that they agreed with the
5 Texas Commission, I'm just saying they acknowledged that
6 in this order.

7 A I see in the order that there is reference to
8 Texas indicating some technical problems with unbundling
9 at the FDI. I'm also aware, however, that there are
10 presently negotiations underway between AT&T personnel and
11 SBC personnel in Texas that would allow us to have direct
12 connect.

13 Q But this order says that they denied it at this
14 point or at least at the time that the FCC order was
15 written because the Texas Commission thought it would
16 threaten the integrity of the network. Isn't that what it
17 says?

18 A That's definitely what it says, yes.

19 Q Now, follow up a little bit about what
20 Commissioner Deason asked you earlier. Let's say AT&T
21 wins a customer from BellSouth. The ALEC or AT&T in this
22 instance would go out to the field, go to the equipment
23 closet of the garden terminal, would take off the
24 BellSouth cross-connect for that customer, or would look
25 through them to find the one that belongs to the end user

1 that AT&T has taken as a customer; is that right?

2 A I don't think -- I don't think that's quite
3 right. I think we would know ahead of time.

4 Q Okay. But what I mean is, they have to go out
5 to the box, a technician has to go out to the box, the
6 equipment closet, whichever the situation is, and they
7 have to get the physical wire that used to belong to the
8 customer -- or that belongs to the customer that was
9 BellSouth's customers, now is AT&T's; is that correct?

10 A Yes, as I tried to demonstrate it here.

11 Q Okay. And they take that wire, the AT&T
12 technician takes that wire off BellSouth's cross-connect,
13 unhooks it, and hooks it up to AT&T's cross-connect. Is
14 that fair? Or the panel. I'm sorry, maybe I shouldn't
15 have said cross-connect, maybe I should just say panel.

16 A Could you repeat the question?

17 Q All I'm trying to go to is the little white
18 panels that are on your Exhibit.

19 A Yes.

20 Q One of them is going to be BellSouth's panel; is
21 that right?

22 A Well, there are several that are BellSouth's
23 panel. That's what I'm having difficulty --

24 Q Okay. Let's think about this as the garden
25 apartment complex, and you've got the lady -- you've won

1 the lady in Apartment C. That's your new customer. It
2 used to be BellSouth's customer, now it's your customer.
3 Tell me what you're going to do, what the AT&T technician
4 is going to do when they go out to move that lady in
5 Apartment C, her wire, from BellSouth service to AT&T
6 service?

7 A Well, first, I think we'd have to understand if
8 there are any spare terminal strips, and I believe it's
9 likely there will be spare terminal strips at that garden
10 terminal. So we may just tap into one of the spares, and
11 also, as I understand it, we would be able to identify if
12 it's a garden terminal from markings that would be at the
13 terminal where the lady in Apartment C's physical wiring
14 would be that gets us back to her apartment.

15 Q Okay. So you're going to take, though, the wire
16 off BellSouth's facility and put it on AT&T's facility;
17 correct?

18 A Well, I think it's all -- it's all one panel
19 right now.

20 Q But you're going to punch something over, you're
21 actually going to do a physical piece of work?

22 A There will be a physical piece of work, and an
23 AT&T wire will be terminated at a cross panel at the
24 building owner's site. It may be owned by the building
25 owner but that you control or you may own. As I

1 understand, both situations apply.

2 Q Okay. How are you going to get that wire in
3 there, AT&T's wire in there?

4 A With a tool such as this.

5 Q No. I meant how are you going to get it into
6 the building, how are you going to get it into the garden
7 terminal? How are you going to get it --

8 A Well, that's why we're spending a lot of time
9 negotiating with building owners for the right to do that.
10 And the building owners have told us they would be very
11 happy to have AT&T come and provide residential local
12 phone service. But in some cases, they do not control the
13 wiring because they have given that control to you, or in
14 some cases, you own the wiring. And so they have asked us
15 to go to you and make arrangements to allow us to serve
16 those customers.

17 Q If there is not a spare pair for the lady -- to
18 serve the lady in Apartment C, you're going to have to
19 disconnect something from BellSouth's side of the panel;
20 is that right?

21 A I would believe so.

22 Q Okay. You're going to have to disconnect that,
23 and you're going to have to reconnect it to AT&T's side of
24 the panel?

25 A Well, to AT&T's wiring, yes.

1 Q All right. How are you going to know -- how are
2 you going to identify the wire that belongs to the lady in
3 Apartment C?

4 A Through you.

5 Q Okay. Are you going to call us up? How is that
6 going to work?

7 A Well, as I understand it, Mr. King has
8 identified certain work activities associated with our
9 getting loop assignment. So perhaps he can walk us
10 through the actual steps that occur in developing that
11 nonrecurring cost that we have in there.

12 Q Okay. But you can't answer my question because
13 that's not really the focus of your testimony. Is that
14 what you're saying?

15 A Correct. I know that there is an inventory that
16 we would have to gain information from that inventory
17 system.

18 Q Okay. Now, you're familiar with the Florida
19 MediaOne -- Florida Commission's MediaOne order, are you
20 not?

21 A Yes, I am.

22 Q And you are familiar with the fact that this
23 Commission found that MediaOne's proposal, which is
24 essentially the same as the proposal that AT&T is making
25 now, was unrealistic; isn't that correct?

1 A Could you point me to where you're referencing,
2 please.

3 Q Sure. Page 17 of the order. I gave you a copy
4 of the order beforehand. Page 17 of the order, first full
5 paragraph.

6 A I do see that language in the order, yes.

7 Q And would you also agree that in the next
8 paragraph this Commission said it was in the best interest
9 of the parties that the physical interconnection of
10 MediaOne's network be achieved as proposed by BellSouth?

11 A I see that as well.

12 Q Okay.

13 A And if I may just elaborate, this order did come
14 out before the long awaited UNE Remand Order. At the time
15 this order was written, subloop unbundling was not a
16 requirement, was not a UNE. And now that subloop
17 unbundling is a UNE, and we intend -- hope to be able to
18 use it to provide residential local phone service here in
19 Florida. I'm hoping that the Commission will reevaluate
20 their position given what the Georgia Commission has
21 already found that it is indeed technically feasible, and
22 that they will be somewhat guided by what the FCC has
23 stated in the UNE Remand Order.

24 Q And what the FCC stated in the UNE Remand Order
25 was that this is a decision -- technical feasibility is a

1 decision that the State Commissions can make; isn't that
2 right?

3 A And I certainly wouldn't want to usurp the
4 Florida Commission's right to make that decision.

5 Q Now, did MediaOne appeal that order? Do you
6 know?

7 A It happened before my watch, if they did.

8 Q Did AT&T appeal the MediaOne order?

9 A Well, at that point, I don't believe that we
10 appealed it. Since it wasn't our arbitration, I didn't
11 even know if we could legally appeal it.

12 Q Do you know whether the Florida rules permit the
13 building owner to own the type of facilities that we are
14 talking about here?

15 A Well, we've been talking about several
16 facilities. Do you mean the --

17 Q The intrabuilding network wire, network
18 terminating wire.

19 A No, I do not know whether the Florida rules
20 allow them to own it or not.

21 Q And something you said earlier, you said that --
22 I thought I heard you say, and maybe I was mistaken, but
23 was it your testimony earlier that there was something on
24 the wires in the building to indicate where each pair was
25 assigned?

1 A If we are talking about the high-rise cabling,
2 and I've read Mr. Milner's depositions in multiple states
3 at this point, and so this is based upon my understanding
4 of what he's been stating in terms of garden terminals, I
5 have read that he has stated in garden terminals that
6 there is usually some sort of marking at the garden
7 terminal identifying the pair connections to Apartment C,
8 D, E, whatever.

9 And in multiple dwelling units, the ones that
10 we're most interested in, because frankly, I think we can
11 build our own garden terminals as we go out and gear up to
12 serve millions of subscribers, it's really the concern we
13 have is in these high-rise units, but in the high-rise
14 units, I understand that you have, again based upon what
15 Mr. Milner said to this Commission this week, that you
16 have a mechanized inventory system, which we can then
17 query in manual or mechanized fashion to determine where
18 the particular wire pair is that serves the customer on
19 the eighth floor of a high-rise building in Apartment C,
20 or 8C, I guess.

21 Q Now, I believe you said in your testimony that
22 the Georgia MediaOne order required MediaOne, now AT&T, to
23 assume full liability for any adverse consequences that
24 could result from allowing AT&T's proposal to access NTW
25 to go forward. Is that a fair statement?

1 A Yes.

2 Q And you say in your testimony in this case that
3 AT&T and MCI in principle supported that notion. And I'm
4 curious to understand what does in principle mean?

5 A That's a fair question. At the time I was
6 writing the testimony, I had read the Georgia order and
7 had discovered that there was discussion in the order
8 about the need for MediaOne and BellSouth to get together
9 and establish the procedures to allow this direct
10 connection to take place so that indeed the lines would be
11 clearly drawn as to how this would occur, which would,
12 therefore, make it easier to understand when liability and
13 adverse consequences might occur.

14 Now, I understand that those procedures are now
15 final. Mr. Milner, I think, described that yesterday or
16 today even. So I think based upon what AT&T and BellSouth
17 have come up with in Georgia, I think, although I have not
18 seen those procedures, I think those procedures would
19 probably work fine here in Florida as well.

20 Q So do you know whether those procedures are
21 going to require AT&T to indemnify BellSouth's customers
22 for any losses they might incur as a result of a problem
23 caused by an AT&T technician?

24 A Well, again, not having seen the procedures, I
25 can't say that they do.

1 Q All right. Well, let's forget about the
2 procedures for a minute.

3 A Okay.

4 Q If this Commission accepts AT&T's proposal, is
5 AT&T and MCI willing to indemnify BellSouth's customers
6 for any losses they may suffer as a result of an action by
7 an AT&T technician?

8 A Yes, I think I have indicated in my testimony
9 that is the case. Yes.

10 Q Okay. Is AT&T and MCI willing to indemnify
11 BellSouth if a BellSouth customer gets mad because their
12 service is disrupted and leaves BellSouth for another
13 carrier due to an AT&T technician?

14 A Well, I guess we'd have to have an example of
15 that to understand why -- what an AT&T technician out at a
16 wiring closet might do to make such a -- to create such
17 anger in a BellSouth customer. I mean, that's a little
18 hypothetical for me to answer.

19 Q So you're not willing to truly indemnify
20 BellSouth for any and all adverse consequences of an AT&T
21 technician's actions then?

22 A Well, I'd like to hear what happened. I don't
23 think anyone would just say, well, carte blanche, you
24 know --

25 Q Okay. Let me try to give you an example.

1 BellSouth customer in garden Apartment B on the phone with
2 their stockbroker, AT&T technician trying to move service
3 for Apartment C from BellSouth to AT&T makes Apartment B's
4 service go down at the crucial moment when Apartment B is
5 telling the stockbroker sell, sell, sell, are you going to
6 indemnify that customer for that loss? Are you going to
7 indemnify BellSouth when that customer says, no, thank
8 you, I'm going to someone else?

9 A Well, I think what I'd do is I'd call
10 Mr. Lamoureux, and I'd ask him what legal requirements we
11 would have to indemnify. But seriously, Ms. White, I
12 think we could probably reach agreement on what are
13 acceptable liability requirements. I mean, those
14 requirements exist today in retail tariffs. We have
15 worked with you for years in terms of switch and special
16 access arrangements. This is not new ground that we're
17 plowing.

18 Q Would you agree that in the First Report and
19 Order of the FCC back, I think this was in '96, '97, the
20 FCC stated that each carrier must be able to retain
21 responsibility for the management, control, and
22 performance for its own network?

23 A I'm sorry, could you repeat that?

24 Q Yes. That each carrier must be able to retain
25 responsibility for the management, control, and

1 performance of its own network.

2 A I heard that part.

3 Q Oh, I'm sorry. Would you agree that that's a
4 statement from the FCC's First Report and Order?

5 A I can't speak to that.

6 Q Would you accept it, subject to check?

7 A Subject to check, yes.

8 MS. WHITE: Thank you. I have no further
9 questions.

10 CHAIRMAN DEASON: Staff.

11 MS. KEATING: Staff has no questions.

12 COMMISSIONER JABER: I have one,
13 Chairman Deason. Ms. Kahn, did I understand you to say
14 that you could build the garden terminals, that your real
15 area of concern was the high-rise building, access to the
16 high-rise building?

17 THE WITNESS: That's my understanding, that we
18 have several ways we're offering cable telephony today. I
19 know my niece in Denver has cable telephony through AT&T,
20 and we will do what's called direct connect where we use
21 our own facilities end to end.

22 In these garden terminal situations, it's easier
23 to put your own terminal on property because you have less
24 concern about space limitation. The wiring closet may not
25 allow a whole new series of panels to be put there,

1 there's not enough room. The building owners may not want
2 the riser cables to be expanded.

3 COMMISSIONER JABER: So were you here for
4 Mr. Milner's testimony yesterday and during
5 Mr. Lamoureux's cross-examination questions? We had --
6 there were two diagrams. One diagram was a reflection of
7 an apartment complex layout and the other was the
8 high-rise building. Is it your testimony then that you
9 don't need direct access to the garden terminal situation
10 in an apartment arena because you can construct your own
11 garden terminal?

12 THE WITNESS: Well, I don't want to mislead you.
13 I mean, there may be situations where we will want to use
14 the BellSouth garden terminal; however, even in that
15 situation, as I understand it, since there could be
16 multiple garden terminals on the same property, we would
17 prefer to actually meet the BellSouth -- have the single
18 point of interconnection at just one site rather than
19 meeting them at, let's say, three garden terminals. So
20 that's why I say it's more likely we might build our own
21 in a situation where there are multiple garden terminals.

22 There are not multiple basements. Well, there
23 are. I guess in Manhattan, we do have multiple basements,
24 but there's usually just one basement. The parties both
25 have to come in there. The cabling is going up ten floors

1 usually through the elevator shaft. The building owner
2 doesn't want more cabling running up the shaft; therefore,
3 we're sort of stuck. And so we really feel it would be
4 much more difficult to convince the building owners to
5 allow us to go up through the elevator shaft than to erect
6 a small garden terminal on their property.

7 COMMISSIONER JABER: So then an area of
8 priority, it would be more critical for the Commission to
9 set a cost that would allow you to compete in a multi-unit
10 dwelling, and I'm referring to multi-unit dwelling as
11 being the high-rise building, than it is for us to focus
12 on the apartment kind of scenario. In other words, I
13 think you just said that you can construct garden
14 terminals with apartment complexes, you would prefer not
15 to.

16 THE WITNESS: Correct.

17 COMMISSIONER JABER: So if the cost is
18 prohibitive for the apartment scenario, you have an
19 alternative.

20 THE WITNESS: Yes.

21 COMMISSIONER JABER: So in that regard, it's
22 more important for us to address the high-rise situation.

23 THE WITNESS: Yes, yes. And actually, when the
24 arbitration between MediaOne and BellSouth was going on,
25 it was, as I understand has been represented to me by the

1 MediaOne folk, that they believed they were getting access
2 to the multiple dwelling unit high-rise cabling when they
3 bought their network terminating wire.

4 As a matter of fact, BellSouth is unique, in my
5 experience and I look at the entire country, in making a
6 distinction between network terminating wiring and
7 intrabuilding network cabling.

8 COMMISSIONER JACOBS: You take the basic
9 position then that much of the overhead; i.e., the labor
10 costs for doing the -- I may not categorize it in your
11 terms, but doing the services that BellSouth would offer
12 is not necessary; therefore, you would reduce that then
13 from nonrecurring, and you would also reduce the
14 investment of the additional equipment as well?

15 THE WITNESS: Yes. Remember, I said one of
16 these blocks cost \$5. BellSouth said they will construct
17 this block for us in the basement terminal, what I'm
18 calling here the BellSouth access cross-connect, for \$400.

19 COMMISSIONER JACOBS: And how would that be
20 allocated, 400 per 25 pair?

21 THE WITNESS: Yes.

22 COMMISSIONER JACOBS: And so it would be
23 allocated to 25 lines would pick up that charge?

24 THE WITNESS: Well, if we were able to win 25
25 customers all at the same time; otherwise, obviously, you

1 know, if we won five customers in the building, it would
2 be allocated over five.

3 COMMISSIONER JACOBS: Okay. Thank you.

4 CHAIRMAN DEASON: Redirect.

5 MR. LAMOUREUX: Just a couple of questions.

6 REDIRECT EXAMINATION

7 BY MR. LAMOUREUX:

8 Q In response to, I believe, Commissioner Jaber's
9 question, you said something about the MediaOne folks
10 believed that they had gained direct access to access
11 panels or BellSouth panels in a high-rise situation. Were
12 you referring to a particular state or a particular
13 decision?

14 A Well, certainly I was referring to Florida, and
15 there was also an arbitration in Georgia, and I believe
16 one is now underway in New Carolina. And it was only
17 until North Carolina that we heard about a distinction
18 between what I think Mr. Beveridge was calling little INC
19 and big Inc, intrabuilding network cabling in high-rise
20 being big INC, and network terminating wire being little
21 INC.

22 Until that point, no one had any reason to
23 believe that BellSouth would make this distinction because
24 Verizon had not, SBC had not, Qwest had not, so we were
25 taken by surprise.

1 Q On the subject of indemnification, to the extent
2 that BellSouth has in its retail tariffs provisions
3 dealing with indemnification of customers or potential
4 customers in the event that one of their technicians
5 disconnects a line when someone is on the phone telling
6 their broker to sell, should AT&T, in your mind, accept
7 any greater indemnification than what BellSouth has in its
8 retail tariffs?

9 A Well, I wouldn't think so.

10 MR. LAMOUREUX: That's all I have.

11 CHAIRMAN DEASON: Okay. Exhibits.

12 MR. LAMOUREUX: I would move in AT&T Exhibits
13 133 and 134, which were the confidential portions of
14 Dr. Kahn's testimony and her exhibits.

15 CHAIRMAN DEASON: Without objection, hearing
16 none, show Exhibits 133 and 134 are admitted.

17 (Exhibits 133 and 134 admitted into the record.)

18 CHAIRMAN DEASON: Thank you. Dr. Kahn, you may
19 be excused.

20 (Witness excused.)

21 CHAIRMAN DEASON: AT&T, you may call your next
22 witness.

23 MR. LAMOUREUX: Our next witness is
24 Jeffrey King.

25 CHAIRMAN DEASON: Perhaps this is a good time to

1 take a ten-minute recess. We will do that.

2 (Brief recess.)

3 CHAIRMAN DEASON: Call the hearing back to
4 order. You may call your next witness.

5 MR. LAMOUREUX: AT&T and WorldCom call
6 Jeffrey King as our next witness. And I do know that
7 Mr. King was not here the first day and has not been
8 sworn.

9 CHAIRMAN DEASON: Very well. Mr. King, if you
10 could please stand and raise your right hand.

11 (Witness sworn.)

12 MR. LAMOUREUX: Did we figure out the first day
13 that Phase One testimony from months ago had already gone
14 into the record?

15 CHAIRMAN DEASON: Yes.

16 JEFFREY KING

17 was called as a witness on behalf of AT&T Communications
18 of the Southern States, Inc. and MCI WorldCom and, having
19 been duly sworn, testified as follows:

20 BY MR. LAMOUREUX:

21 Q Okay. Mr. King, did you cause to be prepared
22 and filed revised rebuttal testimony dated September 12,
23 2000, consisting of 13 pages?

24 A Yes, I did.

25 Q And did you also cause to be prepared and filed

1 supplemental rebuttal testimony dated August 28, 2000,
2 consisting of seven pages?

3 A Yes.

4 Q Do you have any changes or corrections to either
5 one of those sets of testimony?

6 A On those pieces -- not on the testimony, no, I
7 do not.

8 Q Okay. If I were to ask you the same questions
9 as are contained in your testimony, would your answers be
10 the same?

11 A Yes.

12 MR. LAMOUREUX: Mr. Chairman, I would ask that
13 the revised rebuttal and the supplemental rebuttal
14 testimony of Mr. King be inserted into the record as
15 though read.

16 CHAIRMAN DEASON: Without objection, it shall be
17 so inserted.

18

19

20

21

22

23

24

25

1 REBUTTAL TESTIMONY OF
2 JEFFREY KING
3 ON BEHALF OF
4 AT&T COMMUNICATIONS OF THE SOUTHERN STATES,
5 INC. AND
6 MCI WORLDCOM, INC.
7 DOCKET NO: 990649-TP
8

9 Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS
10 AND TITLE.

11 A. My name is Jeffrey King and my business address is 1200
12 Peachtree Street, N.E., Atlanta, Georgia 30309. I am employed
13 by AT&T as a District Manager in the Local Services & Access
14 Management organization.

15 Q. BRIEFLY OUTLINE YOUR EDUCATIONAL
16 BACKGROUND AND BUSINESS EXPERIENCE IN THE
17 TELECOMMUNICATIONS INDUSTRY.

18 A. I received a Bachelor of Arts degree in Business Administration
19 with a concentration in Industrial Administration from the
20 University of Kentucky, Lexington, KY, in 1983. I joined
21 AT&T's Access Information Management organization in April
22 of 1986 developing and testing the ordering and inventory Access
23 Capacity Management System (ACMS) for electronically

1 interfacing High Capacity access orders with incumbent local
2 exchange carriers (ILECs). I worked closely with the Ordering &
3 Billing Forum (OBF) to insure industry standard specifications
4 were implemented and enforced by quality control edits to
5 maintain the integrity of the data. I joined the Integrated Access
6 Planning and Implementation organization in August of 1990 and
7 performed the national ACMS User Representative role for
8 implementing Business Unit requirements, enhancements,
9 Methods & Procedures, and training. This work function also
10 required subject matter expertise of the processes to plan,
11 provision and utilize special access circuits and facilities in order
12 to optimize the effectiveness of AT&T's operational support
13 systems (OSS) to manage these processes. I joined the Access
14 Management organization in December of 1992 and managed
15 customer/supplier relations on Interstate access price issues,
16 including access charge impacts and tariff, terms and conditions
17 analysis, with BellSouth Telecommunications, Inc. and Sprint
18 LTD. In addition, my responsibilities included ILEC cost study
19 analysis.

20 I began supporting AT&T's efforts to enter the local
21 services market with the implementation of the
22 Telecommunications Act of 1996. In particular, I support
23 AT&T's efforts to obtain cost-based non-recurring rates for

1 AT&T's requests of unbundled network elements (UNEs) from
2 ILECs by analyzing ILEC non-recurring cost studies and utilizing
3 the AT&T/MCI Non-Recurring Cost Model. I also interface with
4 subject matter experts ("SMEs") on the efficient processes and
5 practices of ordering and provisioning UNEs based on a least-
6 cost, forward looking telecommunications infrastructure. My
7 organization also supports the cost models, such as the HAI
8 Model, to develop the recurring costs (i.e., capital expenditure) to
9 efficiently support the telecommunications infrastructure.

10 Since July 1998 my additional responsibilities include
11 analyzing ILEC costs and recommending all cost-based prices
12 charged by ILECs. My responsibilities also include managing
13 access charges paid by AT&T to ILECs in the nine state
14 BellSouth territory. Specifically, I advocate cost-based rates for
15 access to the ILECs' networks for the purpose of originating and
16 terminating local and toll traffic. Indeed, UNEs comprise the
17 same elements of the telecommunications network as offered by
18 BellSouth, and other ILECs, for access services.

19
20 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

21 **A.** On behalf of AT&T and MCI WorldCom, Inc. I am presenting in
22 Exhibit JAK-1 a total summary of the Unbundled Network
23 Element (UNE) recurring and non-recurring rates recommended

1 for interconnection with BellSouth. I am also testifying on the
2 necessary modifications to the cost models of BellSouth in order
3 to produce competitively efficient non-recurring rates.

4 **Q. HOW IS YOUR TESTIMONY STRUCTURED?**

5 A. I address the following subjects:

| | | |
|---|--|---|
| 6 | RECOMMENDED UNE RATES FOR BELLSOUTH..... | 4 |
| 7 | COST MODELS | 5 |
| 8 | COST MODEL ASSUMPTIONS | 5 |
| 9 | NON-RECURRING COSTS..... | 8 |

10

RECOMMENDED UNE RATES FOR BELLSOUTH

11

12 **Q. WHAT RECURRING AND NON-RECURRING RATES**
13 **(INCLUDING DEAVERAGED RECURRING LOOP**
14 **RATES WHERE APPROPRIATE) SHOULD BELLSOUTH**
15 **BE PERMITTED TO CHARGE?**

16 A. Exhibit JAK-1 contains a summary of the recurring and non-
17 recurring rates determined to better represent the ceiling for rates
18 that BellSouth should be permitted to charge Alternative Local
19 Exchange Carriers (ALECs) for the purpose of interconnecting
20 and providing competitive communication services to over 6.8M
21 Florida access lines.

22

COST MODELS

1

2

3

4

5

6

7

8

9

10

11

12

Q. WHAT COSTING MODEL WAS USED TO DEVELOP THE RECURRING AND NON-RECURRING RATES THAT AT&T AND MCI WORLDCOM ARE PROPOSING IN THIS PROCEEDING FOR BELLSOUTH?

A. AT&T and MCI WorldCom have chosen to use BellSouth's cost model to develop the UNE rates, including UNE combination rates, in this proceeding. Specifically I rely on the BellSouth Cost Calculator Version 2.3 filed by BellSouth in Docket No. 990649-TP and necessary modifications to the inputs and operation of that model.

COST MODEL ASSUMPTIONS

13

14

15

16

17

18

19

20

21

Q. PLEASE DESCRIBE THE BASIS FOR THE RECOMMENDED CHANGES MADE TO BELLSOUTH'S COST MODEL?

A. Changes to BellSouth's cost studies are necessary in order to conform to non-discriminatory costing principles and efficient provisioning of the affected UNEs. I rely on a number of Subject Matter Experts (SMEs). The principal SMEs have also filed testimony in this proceeding:

- 1 • Witness Brian Pitkin analyzed the BellSouth
2 Telecommunications Loop Model[®] (“BSTLM”) and the
3 BellSouth Cost Calculator[®] (“BSCC”). This is the first cost
4 proceeding in which BellSouth has introduced this study and,
5 as such, required extensive review. Many of the model’s
6 modifications are already under consideration for future
7 BellSouth releases.
- 8 • Witness John Donovan provides technical support for least-
9 cost forward-looking network investment and design choices
10 of the telecommunications infrastructure, including the
11 capabilities of this network to be efficiently provisioned.
- 12 • Witness Cathy Pitts provides technical support on switching
13 costs.
- 14 • Witness Dr. Brenda Kahn addresses sub-loop UNEs. In
15 particular, she analyzes efficient access to multi-dwelling
16 units.
- 17 • Witness Greg Darnell addresses BellSouth’s shared and
18 common costs, as well as the development of expense and
19 plant-specific cost factors. In addition, I am applying the
20 weightings sponsored by witness Darnell for the deaveraging
21 of BellSouth’s recurring loop rates.
- 22 • Witness John Hirshleifer is recommending the cost of capital
23 input data.

- 1 • Witness Mike Majoros is recommending the depreciation
2 input data.

3

4 **Q. PLEASE DESCRIBE THE RECOMMENDED CHANGES**
5 **MADE TO BELLSOUTH'S COST MODEL INPUTS AND**
6 **ASSUMPTIONS?**

7 A. In addition to the non-recurring analysis I discuss later, I
8 recommend that you take note of the testimony filed by the
9 witnesses previously mentioned to obtain greater detail of
10 necessary cost model modifications and the sound logic for these
11 modifications. Exhibit JAK-1 contains the total results of the
12 proposed modifications. An electronic copy of BellSouth's
13 modified cost models and the input files that were utilized to
14 develop the recommended UNE rates is attached as Exhibit JAK-
15 4 (BellSouth). Underlying themes include:

- 16 • Least-cost engineering design, including investment choices;
17 • Forward-looking, yet currently available and deployed,
18 technology; and
19 • Non-discriminatory, including competitive efficiencies such
20 as direct access to OSS and removal of workgroups and
21 activities that the ILECs' own retail operations do not
22 experience. In other words, ALECs must only incur costs
23 which the ILEC would incur using a forward looking network

1 architecture and efficient OSS or else the ALEC is burdened
2 with an excessive barrier to entry and the ILEC has no
3 incentive to become efficient
4

5 **NON-RECURRING COSTS**

6 **Q. HOW DO NON-RECURRING RATES DIFFER FROM** 7 **RECURRING RATES?**

8 A. Non-recurring cost activities are those that only benefit the
9 ALEC requesting the elements. If the activity being performed is
10 a one-time activity, but has the potential to benefit future users of
11 a particular telecommunications facility, the costs of the activity
12 should be characterized as recurring. The cost of constructing a
13 loop is one such example. Proper allocation of one-time costs is
14 particularly important in a competitive environment where more
15 than one local exchange access carrier (including the Incumbent
16 LEC, Alternative LEC or Data LEC) may use a particular facility
17 at different points in that facility's lifetime. If all the forward-
18 looking costs of a one-time activity benefiting multiple users are
19 borne by the first telecommunications provider to use the facility,
20 then obviously the first user will be forced to pay more than its
21 fair share while subsequent users get a free ride.

22 Recurring rates recover the cost, including shared and
23 common cost, of the investment and expense necessary to install

1 and maintain a quality telecommunications network. These costs
2 are then capitalized and appropriately taxed to earn a competitive
3 return on the investment in order to derive the chargeable rates.

4

5 **Q. HOW ARE NON-RECURRING RATES DEVELOPED?**

6 A. The theory behind the development of a non-recurring cost model
7 is fairly simple. First, it is necessary to identify the non-recurring
8 actions required to provision unbundled network elements to
9 ALECs. Second, it is necessary to break down each action into
10 the detailed work activities that comprise each action, and
11 determine both the time necessary to complete these activities
12 and the associated labor rates. Finally, it is necessary to
13 determine, for each action, the probability that a particular work
14 activity will be required to provide the action.

15 The non-recurring cost of a particular action, then, is
16 simply the sum of the costs of each of the necessary work
17 activities, calculated as the product of (1) the required time, (2)
18 the labor rate, and (3) the probability of occurrence of each work
19 activity.

20

21 **Q. WHAT ARE THE NON-RECURRING COSTS FOR**
22 **BELLSOUTH?**

1 A. Non-recurring costs are the efficient, one-time costs associated
2 with establishing, disconnecting or rearranging unbundled
3 network elements purchased from an ILEC at the request of an
4 ALEC. The non-recurring cost components are (1) the required
5 time to perform a particular task, (2) the labor rate for each
6 affected work group that may perform tasks, and (3) the
7 probability of occurrence that each work activity is required on
8 any particular UNE provisioning order.

9 On average, manual worktimes should not differ
10 significantly between companies assuming efficient Operational
11 Support Systems (OSS) are in place. Probability of occurrence
12 for manual activities is mainly driven by two factors: (1) OSS
13 fallout and manual intervention and (2) additional work
14 associated with copper plant technology versus fiber plant
15 technology.

16
17 **Q. PLEASE DESCRIBE THE RECOMMENDED CHANGES**
18 **MADE TO BELLSOUTH'S NON-RECURRING COST**
19 **STUDIES?**

20 A. Exhibit JAK-3 displays the NRC input worksheets that were
21 modified. The affected worksheets also document the
22 assumptions used to adjust each cost study.

1 I have eliminated costs that have no justification in a
2 forward-looking network architecture and efficient provisioning
3 process. For example, BellSouth introduces unnecessary
4 workgroups and costs in the ALEC provisioning process, which
5 BellSouth's own retail operations do not incur. Such workgroups
6 as the Local Customer Service Center (LCSC) and the UNE
7 Center (UNEC)/Access Customer Advocate Center (ACAC) are
8 intermediary work groups not intended for efficient operations.
9 In other words, these workgroups are the middlemen.

10 I adjusted work times for certain work group activities.
11 Most of these changes entail consistent application of work times
12 between individual UNE studies covering similar work routines.

13 Fiber technology and the intelligent digital and optical
14 support equipment also provide for remote electronic access and
15 mechanized efficiencies for installing, disconnecting and re-
16 arranging UNE and UNE combinations. BellSouth has assumed
17 100% manual work by a host of work centers. For those work
18 groups that should be involved if an electronic mechanized order
19 were to "fall-out" of the provisioning process, I have assumed
20 BellSouth's affected work centers will be manually involved 10%
21 of the time.

22 Activities associated with manual assistance due to errors
23 in the network management systems and databases (Operational

1 Support Systems) are examples of activities that do not benefit
2 the customer. This is because efficiently managed systems do
3 not experience these errors. Most, if not all fallout from the OSS
4 is a result of mismatching data from one system to the other.
5 Maintaining the accuracy of these databases is a function of
6 normal day to day maintenance and is recovered through
7 recurring costs. Poorly maintained systems results in higher
8 recurring costs. Such manual activities are a function of
9 embedded inefficiencies, and result in costs for which ALECs
10 should not compensate an ILEC. Viewed another way, the
11 customer (ALEC) did not cause the error, they caused the ILEC
12 to discover the error and, therefore, should not be penalized
13 through additional charges.

14

15 **Q. DO YOU HAVE ANY ADDITIONAL CONCERNS WITH**
16 **THE GENERAL OPERATION OF THE BELLSOUTH**
17 **SPONSORED COST MODEL?**

18 **A.** Yes. In particular, BellSouth's cost model is not user friendly.
19 The Loop study requires hours and hours of CPU time to perform
20 its computations, not to mention the requirement of upgraded
21 state-of-the-art computer technology and software. Many
22 computations were found to be in error. Such errors range from
23 incorrect cell references to non-existent study references to hard

1 coding of input data to prevent proper sensitivity analysis. The
2 other rebuttal witnesses to this proceeding also point to input
3 assumption changes in order to account for network design and
4 technology mix flaws. My point is that the AT&T and MCI
5 WorldCom recurring and non-recurring rate proposals should
6 serve as a ceiling for rates because further investigation of the
7 model with all so-called fixes could very well produce lower
8 rates and enhance the viability of competition.

9

10 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

11 **A. Yes.**

1 **SUPPLEMENTAL REBUTTAL TESTIMONY OF**
2 **JEFFREY KING**
3 **ON BEHALF OF**
4 **AT&T COMMUNICATIONS OF THE SOUTHERN**
5 **STATES, INC. AND**
6 **MCI WORLDCOM, INC.**
7 **DOCKET NO: 990649-TP**

8 **Q. PLEASE STATE YOUR NAME, BUSINESS**
9 **ADDRESS AND TITLE.**

10 A. My name is Jeffrey King and my business address is 1200
11 Peachtree Street, N.E., Atlanta, Georgia 30309. I am
12 employed by AT&T as a District Manager in the Local
13 Services & Access Management organization.

14 **Q. ARE YOU THE SAME JEFFREY KING THAT**
15 **FILED REBUTTAL TESTIMONY IN THIS**
16 **DOCKET?**

17 A. Yes.

18 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

19 A. My testimony addresses the proposed revised cost studies
20 that BellSouth filed on August 16, 2000. AT&T and MCI
21 WorldCom continue to defend its previous Rebuttal
22 positions, including the rate proposals filed by AT&T and
23 MCI WorldCom on August 8, 2000, and have attempted to

1 apply those same sound assumptions to BellSouth's revised
2 cost studies.

3 **Q. WHAT COMPLICATIONS HAVE YOU**
4 **ENCOUNTERED WITH BELLSOUTH'S REVISED**
5 **COST STUDIES FILED AUGUST 16, 2000?**

6 A. In this proceeding, AT&T and MCI WorldCom have
7 chosen to use BellSouth's cost studies, with appropriate
8 revisions, to develop their UNE rate proposal, including
9 UNE combination rates, in this proceeding. Therefore, in
10 order to remain consistent, and in order to provide the
11 Commission an "apples to apples" comparison with the
12 rates proposed by BellSouth, we have endeavored to use
13 BellSouth's new Cost Calculator Version 2.4 to develop a
14 revised proposal for cost-based UNE rates. Unfortunately,
15 time has not allowed us to thoroughly review all of
16 BellSouth's revisions and their implications on network
17 design and forward-looking costing principles.

18 AT&T and MCI WorldCom witnesses spent many
19 hours modifying BellSouth's Cost Calculator Version 2.3
20 to properly estimate the appropriate prices for UNEs and
21 interconnection as proposed in our original testimony.
22 Unless otherwise noted by these witnesses in their Revised
23 Rebuttal testimony, we stand by the network design and

1 operational assumptions underlying our revisions to
2 BellSouth's original cost studies as described in our
3 Rebuttal Testimony. However, the applications of input
4 and methodology assumptions change when using Version
5 2.4 of BellSouth's Cost Calculator. As the Commission is
6 aware, it takes a good deal of time simply to run
7 BellSouth's cost studies. AT&T and MCI WorldCom have
8 not had sufficient time to incorporate all of their revisions
9 to BellSouth's new cost studies and to re-run the new
10 studies with those revisions in order to include a revised
11 rate proposal in this testimony.

12 As witnesses Pitkin and Donovan also point out,
13 with one minor exception, BellSouth did not address those
14 issues identified in Mr. Pitkin's meeting with BellSouth on
15 July 7, 2000, but instead used this re-filing opportunity as
16 an opportunity to substantially modify its cost studies,
17 inputs, non-recurring costs, and to file additional cost
18 studies. Based on statements made by BellSouth in Florida
19 and elsewhere, AT&T anticipated that BellSouth would
20 incorporate many of the suggestions made by Mr. Pitkin.
21 However, the vast majority of the revisions made by
22 BellSouth have nothing whatsoever to do with the
23 discussions with Mr. Pitkin concerning improvements to

1 BellSouth's cost studies. Indeed, it is especially troubling
2 that BellSouth included so many revisions that were not
3 included in those discussions, while at the same time failing
4 to include the vast majority of the revisions that were
5 discussed.

6 **Q. HAS BELLSOUTH INTRODUCED NEW UNE RATE**
7 **ELEMENTS AS A RESULT OF THEIR REVISED**
8 **COST STUDIES FILED AUGUST 16, 2000?**

9 A. Yes. BellSouth has introduced two "new" elements -- the
10 Universal Digital Channel ("UDC") and 2-wire DID Ports
11 to be used in combinations.

12 **Q. WHAT IS YOUR RATE RECOMMENDATION FOR**
13 **THE NEW UNE RATE ELEMENTS PROPOSED BY**
14 **BELLSOUTH DUE TO ITS AUGUST 16, 2000,**
15 **REVISED FILING?**

16 A. The UDC is essentially an ISDN Loop. Until AT&T and
17 MCI WorldCom finish its analysis of BellSouth's Version
18 2.4 Cost Calculator, I recommend this Commission adopt
19 the recurring and non-recurring rates for the 2-W ISDN
20 Digital Grade Loop as proposed on August 8, 2000.

21 Witness Pitts addresses the 2-W DID Port. I am
22 proposing a recurring rate of \$3.46 as a placeholder based
23 on her recommendation and will file the final

1 recommendation upon completion of the analysis on
2 BellSouth's Version 2.4 Cost Calculator.

3 **Q. DO YOU ANTICIPATE THAT NON-RECURRING**
4 **RATES WILL CHANGE AS A RESULT OF**
5 **BELLSOUTH'S REVISED COST STUDIES?**

6 A. Possibly, but the analysis of BellSouth's revised non-
7 recurring cost studies also continues. Non-recurring costs
8 is an area in which BellSouth made a great deal of changes
9 to its cost studies, particularly the inputs used in those cost
10 studies, which have absolutely nothing to do with the
11 changes discussed by Mr. Pitkin with BellSouth. As
12 BellSouth witness Caldwell pointed out in her revised
13 Direct Testimony, "BellSouth reviewed all of the
14 nonrecurring inputs for all types of loops to ensure
15 consistency of work time estimates and the correctness of
16 the underlying assumptions." Part of the analysis I
17 performed on BellSouth's Version 2.3 Cost Calculator and
18 identified in my Rebuttal Testimony was consistent
19 application of similar work activities. BellSouth has
20 modified several inputs that affect this work analysis and
21 could result in changes to the non-recurring rates to be
22 proposed. Certain of BellSouth's proposed modifications,
23 however, will not affect a change in NRC rates as proposed

1 by AT&T and MCI WorldCom if the modification was for
2 a work group (e.g., the Local Customer Service Center) that
3 should not be considered under competitively-neutral, non-
4 discriminatory costing principles.

5 BellSouth also appears to have modified the
6 structure of its non-recurring cost studies. As I stated in my
7 rebuttal testimony “the non-recurring cost of a particular
8 action, then, is simply the sum of the costs of each of the
9 necessary work activities, calculated as the product of (1)
10 the required time, (2) the labor rate, and (3) the probability
11 of occurrence of each work activity.” BellSouth’s revised
12 studies now attempt to account for these variables. The
13 non-recurring rates I proposed on August 8, 2000 continue
14 to apply, however, as the adjustments I provided in Exhibit
15 JAK-3 also have accounted for these same variables.

16 I am also concerned that BellSouth has used this re-
17 filing opportunity to actually increase many of their costs,
18 and thus rates. For UNE elements such as the 2-W Voice
19 Grade Analog Loop (SL2), BellSouth has actually
20 introduced new provisioning variables that should not even
21 be considered in a proper forward-looking cost study.
22 Specifically, in addition to the routine work that BellSouth
23 claims a work group (e.g., the UNE Center) performs,

1 BellSouth has now included work times associated with
2 maintenance routines, such as escalations and jeopardies.
3 Recovery of any such work activity constitutes double cost
4 recovery (actually more, since BellSouth's maintenance
5 loading factor includes cost recovery and BellSouth has
6 recovered 3 more times within the non-recurring study
7 itself). BellSouth is openly admitting that each ALEC loop
8 order should include payment of a premium because that
9 UNE loop could be the one that BellSouth can not
10 provision on time and will require BellSouth to spend
11 additional man-power to resolve issues and satisfy
12 customer expectations. BellSouth can not be allowed to
13 create excessive barriers to competition by forcing its
14 competitors to pay for BellSouth inefficiencies.

15 **Q. HOW DO YOU RECOMMEND THIS COMMISSION**
16 **ADDRESS THE REVISED COST STUDIES FILED**
17 **BY BELLSOUTH ON AUGUST 16, 2000?**

18 A. AT&T and MCI WorldCom recommend that this
19 Commission either reject all evidence submitted by
20 BellSouth in its revised filing or allow us to make the
21 corrections identified in our rebuttal and supplemental
22 rebuttal testimony to address BellSouth's revised filings

1 and to address those issues we were misled into believing
2 would be corrected in this revised filing.

3 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

4 **A. Yes.**

1 BY MR. LAMOUREUX:

2 Q Associated with your rebuttal testimony, did you
3 prepare and cause to be filed three exhibits identified as
4 JAK-1, dated September 11, 2000; JAK-3, dated September 8,
5 2000, and served on September 11; and JAK-4 a CD-ROM filed
6 on July 31, 2000, which contains BellSouth proprietary
7 information?

8 A Yes.

9 Q Do you have any changes or corrections to any of
10 your exhibits?

11 A Yes. In my revised Exhibit JAK-1, I have two
12 rate elements on Page 2 of 17 on Line 56, Column C, where
13 I currently show a recurring rate for the intrabuilding
14 network cable, the two-wire intrabuilding network cable of
15 84 cents, that should read .5535.

16 On Column C, Row 58, for the four-wire
17 intrabuilding network cable, I show \$1.22 currently, that
18 rate should read .9354. That's all.

19 Q No other changes or corrections?

20 A No, sir.

21 MR. LAMOUREUX: Mr. Chairman, can we identify
22 JAK-1 and JAK-3 as the next exhibit number.

23 CHAIRMAN DEASON: Yes, Exhibit 135.

24 (Exhibit 135 marked for identification.)

25 MR. LAMOUREUX: And since JAK-4 is proprietary,

1 can we identify that separately as 136?

2 CHAIRMAN DEASON: Yes, 136.

3 (Exhibit 136 marked for identification.)

4 BY MR. LAMOUREUX:

5 Q Mr. King, can you please give a summary of your
6 testimony.

7 A Yes. Good afternoon. My name is, of course,
8 Jeff King, and I'd first like to thank the Commission and
9 all the parties for accommodating my schedule. I'm
10 currently vacationing in sunny Daytona Beach and hopefully
11 will be able to get out of here and enjoy the rest of it
12 through the remainder of this week, but I do appreciate
13 the accommodations.

14 On behalf of AT&T and MCI WorldCom, I am
15 proposing the recurring and nonrecurring charges
16 recommended for unbundled network elements for the purpose
17 of interconnection with BellSouth. The basis for these
18 UNE rates is the BellSouth Cost Calculator Version 2.4 and
19 all of its associated cost models, including the loop
20 model, et cetera.

21 For the recurring rate development, I do rely on
22 the subject matter experts of which have filed testimony
23 in this case already to make necessary adjustments to
24 BellSouth's defaults, including input assumptions and
25 network architecture assumptions.

1 I am also responsible for the nonrecurring
2 charges, and I'll be using an acronym, NRC going forward
3 proposed based on necessary adjustments to BellSouth's NRC
4 cost studies. These modifications provide consistency
5 with work activities of the forward-looking network that
6 has been modeled. It assumes efficient operational
7 support systems are in place and assumes nondiscriminant
8 treatment between ALECs and BellSouth's own operations.
9 Thank you.

10 MR. LAMOUREUX: Mr. King is available for
11 cross-examination.

12 CHAIRMAN DEASON: I'll start with my right.
13 Questions? BellSouth.

14 MR. ROSS: Thank you, Mr. Chairman.

15 CROSS EXAMINATION

16 BY MR. ROSS:

17 Q Good afternoon, Mr. King.

18 A Good afternoon.

19 Q I hope you're enjoying your vacation. Let's
20 talk about the nonrecurring cost that you're sponsoring.
21 You're the only AT&T and MCI witness who has submitted
22 testimony on nonrecurring costs; is that correct?

23 A Yes, sir.

24 Q And as I recall from your deposition, you have
25 approximately 14 years of experience with AT&T; is that

1 right?

2 A Yes.

3 Q But your experience in the local exchange part
4 of the business has really been limited to the last four
5 years since the passage of the '96 Act; is that correct?

6 A Yes.

7 Q During your employment, have you ever been
8 responsible for network operations?

9 A Field operations?

10 Q Yes.

11 A No, sir.

12 Q During your employment with AT&T, have you ever
13 been responsible or involved in actual work in the field
14 in the provisioning of facilities used to provide local
15 exchange service?

16 A No.

17 Q And have your responsibilities with AT&T ever
18 involved providing technical support for individuals in
19 the field who are actually involved in providing local
20 exchange service?

21 A No.

22 Q Let's talk about fallout for just a moment,
23 which is an issue you discussed in your testimony. Would
24 you agree that the fallout assumptions in the cost study
25 drive nonrecurring costs?

1 A Yes. And let me explain.

2 Q Certainly.

3 A Manual human intervention causes the cost. To
4 the extent that a particular work group is involved in any
5 particular provisioning activity at the request of the
6 ALEC, there is a variable called fallout that determines
7 whether something should be mechanically or electronically
8 managed by operational support systems in the databases
9 that support that process, and that would be a factor
10 determining whether that work group would need to be
11 involved in any one particular order, yes.

12 Q And all things being equal, a lower fallout will
13 result in lower nonrecurring charges than would otherwise
14 be the case; is that correct?

15 A Yes.

16 Q And would you agree that the fallout assumptions
17 that appear in BellSouth's cost study actually appear in
18 several different places?

19 A Yes.

20 Q For example, you have fallout in the ordering
21 process; is that correct?

22 A Correct.

23 Q And then you also have fallout in the downstream
24 provisioning process with -- the work group is actually
25 involved in installing or engineering the facilities?

1 A The real work, yes.

2 Q Now, with respect to the fallout in the ordering
3 process, you have assumed no fallout; is that correct?

4 A Correct.

5 Q And the zero percent fallout assumption is based
6 on the notion that every time a CLEC submits an order that
7 may have an error on it, BellSouth's systems will be able
8 to electronically identify that error, electronically
9 resubmit the order back to the CLEC, and have the CLEC
10 correct that error; is that correct?

11 A Correct.

12 Q Would you agree that BellSouth's systems today
13 cannot electronically do that, what we've just described?

14 A They probably cannot on every order today;
15 correct.

16 Q Are you aware of any carrier that has deployed
17 the capability to electronically identify every CLEC error
18 in an order?

19 A I am unaware -- I don't know would be my answer,
20 first of all. The -- of course, we are in an environment
21 that is trying to develop competition, that is trying to
22 ensure that every carrier gets one leg up, and so I think
23 every exchange carrier that is trying to get into the
24 marketplace has advantages to it if it is more efficient
25 than the next guy. So whether you want to call it an

1 ISO9000, 9001, various quality initiatives that are out
2 there to try to ensure that there is as little fallout and
3 as little human intervention in any process today, whether
4 it be for nonrecurring cost activities that we're
5 discussing here today or other actions of our business.

6 Q Fair enough. But just so the answer to my
7 question is clear, you do not know of a carrier that has
8 deployed the technology that would enable an incumbent to
9 identify every error in every CLEC order electronically;
10 is that fair?

11 A Well, I'm hoping you're going to be there. No.
12 I'm hoping you're going to be there.

13 Q Thank you. Can I ask you to look at Page 8 of
14 your rebuttal testimony?

15 A Are you going to be working from the revised one
16 without the GTE -- is this the --

17 Q You know, I'll be honest, I don't know that I
18 have a copy of the revised rebuttal.

19 A I just need to know which one to pull out if
20 you're going to reference or pick your line number.

21 Q I'm afraid that I have the original rebuttal
22 testimony that you filed which, I believe, does include
23 GTE.

24 MR. LAMOUREUX: And that should be the only
25 difference between the two is the inclusion or

1 noninclusion of the GTE passages, but the pages are going
2 to be different.

3 MR. ROSS: Yes.

4 BY MR. ROSS:

5 Q On Page 7 of your revised rebuttal testimony,
6 Lines 17 and 18, when you're describing the underlying
7 themes that should be in a forward-looking cost study, you
8 state that, quote, forward looking yet currently available
9 and deployed technology, close quote, should be used; is
10 that correct?

11 A Yes.

12 Q So at least with respect to the OSS technology
13 that you're assuming for purposes of your OSS fallout,
14 that technology has not been yet deployed, to your
15 knowledge?

16 A I'm not sure how to answer that question. I
17 don't know. And clarification would be, we traditionally
18 look at operational support systems today as being
19 classified as so-called legacy systems. They have been
20 around for a lot of years now, have continued to go
21 through enhancements. I think the current goal is the
22 so-called total network management. TNM is kind of the
23 buzzword where OSSs ultimately will be driven to total
24 machanization, the ability to communicate with any other
25 piece of OSS equipment. That has been something that the

1 industry has been working on over the last 20 years and
2 investing a lot of money to enhance existing operational
3 support systems.

4 You have various companies such as Bellcore and
5 others that are continuing to provide new enhancements,
6 new operational support systems to do the things that I'm
7 essentially claiming should be considered in a
8 forward-looking cost study. Whether BellSouth may or may
9 not have implemented them today is somewhat irrelevant to
10 trying to create that competitive environment, because if
11 a company were to manage the network that is being modeled
12 today, and I am -- and BellSouth had the capability to
13 indeed go in and put new systems in, it would have every
14 capability in which I have based my cost study adjustments
15 against.

16 So, yes, they are -- or I don't know in that I'm
17 not sure how many of these new TNM conformant OSSs are
18 currently in place, but that does not mean that a legacy
19 OSS has not been enhanced to have somewhat equivalent
20 functionality.

21 Q You just can't name a carrier who has the
22 functionality that you're assuming in your study; correct?

23 A 100 percent, no.

24 Q Let's talk about the downstream fallout where I
25 believe you have assumed either 5 or 10 percent depending

1 upon the work group; is that correct?

2 A Correct.

3 Q And is it fair to say that in each case you
4 reduced the fallout assumption that BellSouth had in its
5 studies for the respective work groups?

6 A In those instances, yes, generally.

7 Q And is it also fair to say that there was no
8 quantifiable data report or study that you relied upon to
9 support your reduced fallout assumptions rather than those
10 used by BellSouth?

11 A The actual 10 percent, no, I don't have any
12 factual basis to say that 10 percent is the right number.
13 I have a number of -- there have been documentation of
14 BellSouth's own retail operations in Georgia, for
15 instance, having 97 percent plus flow through capability.
16 We have quotes out of SBC territory on some of their OSS
17 enhancements where they are targeting 99 percent flow
18 through, which would mean 1 percent fallout.

19 So I think that, you know, the way that I take
20 this is, just because something is inefficient today and
21 is driving 50 percent fallout does not make it right.
22 What is the right fallout? I've been through a number of
23 these cases, you know, and have plenty more still to come
24 in other jurisdictions, and what I have found is that the
25 2 percent, which I normally am a very strong advocate of,

1 almost seems too unrealistic for many people. And so I
2 have tried to be a little bit more conservative, and so,
3 no, I don't have any factual basis for the 10 percent
4 other than to say it is conservative off of what I do have
5 documentation on.

6 Q Let's talk about the work centers. In
7 developing your nonrecurring rate proposals, you have
8 eliminated work times associated with certain BellSouth
9 work groups; is that correct?

10 A Correct.

11 Q And one such group is the local carrier serving
12 center or the LCSC; is that right?

13 A Correct.

14 Q What does, just briefly, the LCSC do?

15 A That is the -- what I would call the customer
16 facing -- and in this case the customer would be the
17 ALEC -- customer facing group that ensures orders are
18 properly placed into BellSouth's provisioning process.
19 They are the work group that handles any requests by ALECs
20 for manually entering local service orders. They are also
21 within BellSouth's cost study, the work center that is
22 involved, if an electronic service order comes across and
23 it has errors.

24 In BellSouth's process, these errors are not
25 kicked back to the ALEC, let's say AT&T in this case, but

1 rather stay within the BellSouth process. Bell's LCSC
2 fixes the problem and gets it put into the provisioning
3 process. Part of the problems that I have with that is, I
4 never got any notification, per se, that I had anything
5 wrong, so I'm going to keep sending you bad orders, and we
6 haven't fixed anything.

7 So one of the goals of trying to put together
8 this forward-looking cost study is to drive the incentive
9 to ideed put the proper edits in place, kick those orders
10 back to me. I have work groups similar to the LCSC, which
11 is essentially just an order writing group. I'm paying
12 AT&T's own customer representatives to be able to process
13 or input orders, and I need them to be able to do it
14 correctly.

15 Q I want you to assume for purposes of my question
16 that the Commission disagrees with your assumption of
17 zero percent fallout in the ordering process and decides
18 that there should be some, let's say, 3, 5 percent
19 fallout. Is it fair to say that in that circumstance
20 under my hypothetical the LCSC would be the work center to
21 handle those orders that fallout and that the costs of the
22 LCSC should be reflected in nonrecurring costs?

23 A To the extent that this Commission under your
24 hypothetical says that Bell should be entitled to help
25 support electronic service orders, then, yes, that is a

1 work group they have decided that should be alone or
2 should be included in the cost study. I argue that it
3 should not.

4 Q Let's talk about another work group whose time
5 you have eliminated, and that's the UNE center, the
6 unbundled network elements center; is that correct?

7 A Correct.

8 Q And the UNE center performs a coordination
9 function of coordinating BellSouth's technicians and
10 AT&T's technicians in the provisioning of unbundled loops,
11 among other things; is that correct?

12 A Correct.

13 Q And would you agree that the coordination
14 function is an important function when we're talking about
15 cutting over an unbundled loop that's being used to serve
16 a BellSouth customer that's now going to be used to serve
17 an AT&T or another ALEC customer?

18 A Again, the way to answer your question -- yes,
19 coordination is important. My argument is that
20 coordination activities are already capable of being
21 provided via the local service request within FIDs, or
22 field identifiers, on that local service request that
23 says, I'd like to cut this circuit over Friday at
24 5:00 p.m. I'll be there, you be there. And your UNE
25 center is simply a group that does assist in this

1 coordination to ensure that, one, the BellSouth technician
2 does arrive Friday at 5:00 p.m., and will also place a
3 call to the ALEC to ensure that they are also there Friday
4 at 5:00 p.m. Is it necessary? No. Does it help the
5 customer experience -- or does it help to ensure that it
6 will happen at 5:00? Yes.

7 Q I'm going to hand you an exhibit, Mr. King.
8 Actually, Ms. White will hand you an exhibit.

9 CHAIRMAN DEASON: While she's doing that, let me
10 ask a question. Is the LCSC something that is available
11 to you, and to utilize those services, you make an inquiry
12 to that service center, or how does that work?

13 THE WITNESS: Well, the inquiry is not made to
14 the LCSC. That is a work group that simply sits on
15 BellSouth's side and is the first group to come in contact
16 with the local service request. Bell's LCSC is, of
17 course, more familiar with how that order should look
18 going into their own process, but it is also part of
19 trying to drive competition that they should be helping
20 our own customer service representatives to be able to
21 place a clean order such that that group never needs to
22 touch the order.

23 So they are the first group if there is any
24 problems, because they are the ones that help ensure the
25 order gets put into the downstream provisioning processes

1 and that there are, per se, no errors or defects on that
2 order.

3 My argument is that I want to be able to send
4 you a clean order without that group being involved, and
5 so that's why I put a zero fallout into that group. I
6 want Bell to help provide -- I want the proper incentives
7 put in place so that an electronic kickback of those
8 errors come back to me. I'll fix them. My service reps
9 need to know how to write a proper order. I don't want to
10 keep sending them with, you know, an error every day. All
11 that does is increase my own costs, and it increases their
12 costs, which is what I see in these nonrecurring charges
13 they are proposing.

14 CHAIRMAN DEASON: Well, I'm trying to
15 understand, if you submit an order and it gets kicked
16 out -- say, an order gets kicked out electronically, all
17 you want BellSouth to do is collect those in a box and
18 then send them back to you?

19 THE WITNESS: That's essentially how the
20 interface works today. It will have an error code that
21 says this FID has an error, and you would go through an
22 RMA, a resolution of that, and that would be something
23 that our side, the ALEC side, would attempt to clear.

24 You know, did we send an invalid input in that
25 particular FID? I think as -- I'm not sure whether I had

1 it in deposition, but the most fields that exist on a
2 local service request are done via in an industry forum.
3 The ordering and billing forum helps to create the
4 standards of what these FIDs are, what they mean, what can
5 be populated into those FIDs. The capability is out there
6 to create all the proper edits, but they may not all be in
7 place today.

8 CHAIRMAN DEASON: So all you're looking for is,
9 you want to submit an order, and if it does not go through
10 the automated system, that you just be notified?

11 THE WITNESS: That it would be kicked back to
12 clear, put the right data in so that it can come back
13 through and not be kicked out at all. It would just go
14 straight into the provisioning process.

15 BY MR. ROSS:

16 Q Just to follow up Chairman Deason's questions,
17 you don't want to just be notified that an order has an
18 error in it, you want to be notified what the error is so
19 that you can correct the error?

20 A Absolutely.

21 Q And isn't it correct that BellSouth systems have
22 in many respects that capability through what is called
23 autoclarification where certain types of errors are
24 automatically returned with the clarification saying
25 there's a problem with this order; correct?

1 A Yes, yes.

2 Q And what we're talking about are a number of
3 errors for which BellSouth does not have the capability to
4 electronically identify that this isn't a CLEC error as
5 opposed to some other type of error, and it requires
6 manual intervention for BellSouth to make that
7 determination?

8 A The -- is your question divided into CLEC caused
9 errors or some other --

10 Q Yes.

11 A I'm trying to differentiate. To the extent that
12 the CLEC has an error on its local service request, those
13 should be kicked back. There's a number of edits, as
14 you've mentioned, that are already in place to do that,
15 but not every field, not every edit is necessarily there
16 today. And my argument, of course, this being a
17 forward-looking cost study, we should assume they are in
18 place.

19 The second aspect of that, the implication there
20 was that your LCSC was the only ones that can fix some
21 errors. That again would get back to the, I guess my
22 discrimination point of view in that the only way they can
23 fix it is to have direct access into some of these OSSs
24 that gives them the information to fix it on that order.
25 The assumption would be that the ALEC has that same direct

1 access in an nondiscriminant environment.

2 And the ideal situation would be that I can fix
3 that order just as well as the LCSC, even though that may
4 not be, you know, as easily accomplished as we say it can
5 happen. You know, there is definitely work there.

6 Q I'm sorry, maybe my question was unclear. Do
7 you understand that one of the functions of the LCSC is
8 when there is an error on an order where the systems
9 cannot readily determine whether it is CLEC caused or
10 BellSouth caused, that the order falls out to the LCSC so
11 they can investigate, and if it is, in fact, a CLEC error,
12 return that order to the CLEC so they can fix it?

13 A I would agree.

14 Q Going back to the UNE center. I have handed you
15 a document which I hope you have recognized. This is a
16 petition for arbitration filed before this Commission by
17 AT&T Communications of the Southern States that was filed
18 in June of this year seeking arbitration on a number of
19 issues. Are you aware that BellSouth and AT&T are
20 arbitrating before this Commission?

21 A Yes.

22 MR. ROSS: Mr. Chairman, I would like to have
23 this marked as the next exhibit, which I believe is 137.

24 CHAIRMAN DEASON: Yes, 137.

25 (Exhibit 137 marked for identification.)

1 BY MR. ROSS:

2 Q Mr. King, I had understood you to say in your
3 response to an earlier question about the coordination
4 function that the UNE center provides that that
5 coordination function really wasn't really necessary. Was
6 that your testimony?

7 A In a forward-looking cost study; correct.

8 Q If I could ask you to look at Attachment B to
9 the petition, which is a matrix of the issues that AT&T is
10 arbitrating, and look at Page 7, Issue 14. This issue is,
11 "What coordinated cut-over process should be implemented
12 to ensure accurate, reliable, and timely cut-overs when a
13 customer changes local service from BellSouth to AT&T."
14 Is that correct?

15 A Yes.

16 Q And the coordinated cut-over process that AT&T
17 has proposed involves the UNE center; is that correct?

18 A Yes.

19 Q Are you aware of the specific procedures that
20 AT&T has proposed that this Commission adopt for purposes
21 of the interconnection agreement between BellSouth and
22 AT&T in the state of Florida on a going-forward basis?

23 A I am not personally handling this particular
24 issue as part of my workload. I am somewhat aware of the
25 cut-over process, and I do not disagree that in the

1 negotiations for interconnection that a process is
2 required that both sides do understand how cut-overs
3 occur.

4 And to the extent that work group is required to
5 help ensure that that process works well, because this is
6 a new world, so to speak, for local interconnection, I
7 don't see a reason that that has any impact on the cost
8 study side of the equation, which is to try to develop a
9 cost study that mirrors a forward-looking environment and
10 efficiencies of that environment and to try to drive --
11 you will never get competition if we don't have the right
12 incentives in place.

13 MR. ROSS: Mr. Chairman, I'd like to hand the
14 witness another exhibit, or Mr. White would.

15 Mr. Chairman, I would like to have this marked
16 as the next exhibit, 138.

17 CHAIRMAN DEASON: Yes, 138.

18 (Exhibit 138 marked for identification.)

19 BY MR. ROSS:

20 Q Mr. King, this is the actual proposed contract
21 language between BellSouth and AT&T for inclusion in the
22 interconnection agreement that this Commission has been
23 asked to arbitrate, and I would ask you to look at
24 Exhibit C, or actually, Exhibit C and D, but I would like
25 to focus on Exhibit C, which is AT&T's proposed language,

1 and direct your attention to Paragraphs 3.4.3, which
2 appears on Page 4 of Exhibit C, and you can take a moment
3 to read this, if you'd like.

4 A I've read that section.

5 Q Is it fair to say that under this proposal, AT&T
6 wants the UNE provisioning center to determine whether
7 dial tone is present to the AT&T switch and verify that
8 the automatic number identification listed on the service
9 order is the same one as detected on the frame?

10 A The language that has -- that is listed here
11 does allow for the UNE provisioning center to be involved.
12 I would argue, however, that it's not necessarily a
13 function of -- this is what will work and so -- but again,
14 I would drive it back to does this -- just because this is
15 a process that is required today to make something happen,
16 does that mean it should be part of the forward-looking
17 cost study? And so there are two different approaches
18 there. I am looking at it from a cost study perspective
19 and trying to drive the incentives and rates, which
20 includes incentives for both AT&T and BellSouth to not
21 have to have such work centers involved.

22 Knowing that that is the only way that it will
23 happen today, does it make any sense for AT&T through
24 arbitration or through negotiation to take this out and
25 say, no, I never want BellSouth's UNE provisioning center

1 involved, I can't answer that type of question. I am
2 looking at it from a cost study perspective.

3 Q Let me also quickly ask you to look at the
4 following page, Page 5, specifically Paragraphs 3.4.4 and
5 3.5.1, which again would require that the UNE provisioning
6 center perform certain tasks, including calling AT&T at
7 least 48 hours prior to the cut-over; is that correct?

8 A Yes.

9 Q And just so I'm clear, when you said that the
10 coordination function that the UNE center provides wasn't
11 really necessary, would you agree that it's at least
12 necessary enough that AT&T has decided to arbitrate the
13 question as to whether or not BellSouth should be required
14 to provide that coordination function?

15 A Is the language -- there are differences in how
16 that coordination -- or that cut-over occurs. I don't
17 know that there are differences in the fact that the UNE
18 provisioning center is involved or not. So I'm not quite
19 sure I -- I mean, yes, there is language here that suggest
20 that that provisioning center is involved and that AT&T
21 accepts that that provisioning center is involved and has
22 actually built it into the methods and procedures, but is
23 that a function of AT&T if you want that cut-over, this is
24 the way it's going to be, or -- again, I separate out
25 things that are being done in order to allow competition

1 to develop versus the right incentives to try to drive a
2 better behavior.

3 Q Going back to the arbitration, you may have been
4 confused. The language, I think, we were looking at is
5 AT&T proposed language of what they want BellSouth to do.
6 Do you understand that to be the case?

7 A Right.

8 Q And in going back to the arbitration petition,
9 AT&T wants this Commission to order this particular
10 language to be incorporated into the parties'
11 interconnection agreement; is that correct?

12 A Yes.

13 Q Just so I understand your position, do you
14 believe that as part of a forward-looking interconnection
15 agreement BellSouth should provide a coordination function
16 to AT&T, but as part of a forward-looking cost study, AT&T
17 shouldn't have to pay for it?

18 A I believe even within my price proposal here in
19 this docket -- well, my answer would be yes. And that is
20 because you have an element called coordination, service
21 coordination, in which I have -- I did make some
22 adjustments to, but it's not as if I just zeroed it out.
23 And my argument is that if indeed a company wishes to
24 request that BellSouth manually get involved in the
25 coordination, then there would be a charge to cover that.

1 And give me a moment. Order coordination N.1.5,
2 N.1.6, order coordination for specified conversion time, I
3 do have a nonrecurring charge for that activity.

4 Q What do you understand that particular element
5 to be?

6 A That is an order coordination charge. That is
7 just as it -- this is essentially your UNE-type center
8 coordinating activities using manual involvement. The
9 specified conversion time is taking it to the 5:00 p.m. on
10 Friday evening and the so-called I want guarantees that
11 that's going to be there at 5:00 p.m. Friday, and I'm
12 willing to pay an extra charge for that.

13 Q I just want to make sure the record is clear.
14 The order coordination for a specified conversion would
15 apply if AT&T says, I want to cut that loop at exactly
16 5:00, and I want to make sure that someone is there to do
17 it actually at that hour. Do you understand that to be
18 the case?

19 A This is when a -- if a CLEC specifically
20 requests manual intervention, as you are trying to lay out
21 here for those cut-overs, if AT&T says indeed this is a --
22 I'm in a cut-over situation, and I want it to be
23 coordinated, I want to follow our arbitration guidelines,
24 then this additional charge would apply.

25 Q Do you understand that the specified conversion

1 time that is referenced in that particular element refers
2 to the ability of a CLEC to say, I want a cut-over at a
3 specific time, and I want you to coordinate with me to
4 make sure that it's cut-over at that specific time? Do
5 you understand that to be the indicates?

6 A Yes.

7 Q Now, what we're talking about here though is,
8 AT&T is asking for coordination on every single unbundled
9 loop cut-over whether or not AT&T specifies a specific
10 conversion time; isn't that correct?

11 A Well, I read it -- this not being my particular
12 issue, I don't know that that is the case.

13 Q Okay. That's fine. Now, your view, I believe,
14 is that the costs of the LCSC and the UNE center should be
15 recovered from BellSouth's stockholders; is that correct?

16 A Yes. I've made that claim in the deposition
17 that to the extent that BellSouth provides support above
18 and beyond what I believe an efficient process requires,
19 then that is a work group, so to speak, that BellSouth
20 feels that they need to have in the process to help the
21 customer satisfaction level, to help keep BellSouth in
22 good light with their customers, so to speak, and of
23 course, that is what drives value for your business and
24 drives value for your shareholders. So, yes, that was my
25 position.

1 Q And I believe at your deposition I also asked
2 you to give me an example of a cost of AT&T doing business
3 that it recovers from its shareholders rather than its
4 customers, and I believe you could not recall or could not
5 give a specific one; is that correct?

6 A True.

7 Q Let's talk about some of the work activities
8 that you assume in your nonrecurring cost studies. Is it
9 fair to say that some of your nonrecurring rates are based
10 on certain work times such as six minutes to install
11 cross-connect, five minutes to test, and three minutes to
12 tag particular elements?

13 A Yes.

14 Q And the time to process and complete an order
15 that you have assumed for purposes of your proposed
16 nonrecurring rates in this proceeding are very close to
17 the times that were in the AT&T/MCI nonrecurring cost
18 model that AT&T and MCI submitted in the arbitration in
19 1998; is that correct?

20 A Yes.

21 Q And is it fair to say that the Commission in the
22 arbitration in 1998 did not accept the AT&T and MCI
23 nonrecurring cost model?

24 A They did not accept the model; correct.

25 Q There are other work activities such as

1 installation and travel which you have eliminated from
2 your nonrecurring rates because you believe those work
3 activities are recovered in recurring rates; is that
4 correct?

5 A Yes.

6 Q Now, where specifically in the cost study do you
7 believe the cost for such things as installation and
8 travel are recovered in recurring rates?

9 A Well, you have built a forward-looking network
10 through your -- and we can take your loop model as an
11 example. You have geo-coded, so to speak, every customer
12 location, you have put a NID on the side of the house, you
13 have put a drop coming off that house, you have got your
14 distribution facilities coming back to various cross boxes
15 or remotes interconnecting with your feeder facilities all
16 the way back to your central office, central office allows
17 to -- has your switches, your various terminating
18 equipment to utilize the interoffice facilities of the
19 network, and what the cost model is doing is connecting
20 all of those piece parts. You are, in essence, recreating
21 the network to serve the demand of BellSouth's Florida
22 customers.

23 And part of building that network is all of the
24 assumptions of sending a technician out to a customer's
25 premises, all of the factors and loadings associated with

1 engineering, the furnishing and installation of those
2 material investments that you have placed into your
3 network account for all of the costs associated with the
4 various technicians to go out and place that plant.

5 Q Here's my problem. I want you to assume for
6 purposes of my question, as Ms. Caldwell has testified,
7 that the actual times for installation and travel to
8 actually connect the piece parts of the network are not
9 reflected in BellSouth's loadings that were used in
10 developing recurring rates. What I'm asking is, can you
11 specifically point to me where in the cost study you
12 believe these costs are, in fact, being recovered and
13 where Ms. Caldwell is wrong?

14 A Well, first of all, I was not here for
15 Ms. Caldwell to understand -- or to see that she was able
16 to prove that she adjusted the various accounts to remove
17 all installation of cross-connects in every -- at various
18 cross boxes, whether at the NID, the drop to your
19 distribution. I mean, there are a lot pieces that are put
20 together in the entire network, so I can't say that
21 Ms. Caldwell has justified that.

22 I am leaning on Mr. Darnell from my perspective
23 relative to the in-plant or plant-specific loadings that
24 were applied, and was not given any indication from him
25 that BellSouth had made any adjustments to those accounts

1 to remove that type of work labor or work times.

2 Q Have you read Mr. Darnell's testimony in this
3 proceeding?

4 A Yes.

5 Q Do you recall any testimony or any evidence in
6 Mr. Darnell's testimony that specifically addresses the
7 types of activities that you're describing to suggest that
8 the costs of those activities are being recovered in
9 BellSouth's recurring rates?

10 A I do not recall anything specific in his
11 testimony. I also don't recall anything specifically
12 saying that it was not.

13 Q Did you read Ms. Caldwell's rebuttal testimony
14 where she specifically said those costs are not being
15 recovered in recurring rates?

16 A I read her testimony. I do not recall that
17 specific statement.

18 Q Mr. King, you also have eliminated certain work
19 functions that you believe are duplicative; is that
20 correct?

21 A Yes.

22 Q And you eliminated those work activities because
23 you assumed that they were duplicative. Is that fair?

24 A That is fair.

25 Q Did you make any effort through discovery or

1 otherwise to determine whether, in fact, those work
2 functions were duplicative?

3 A No, I did not.

4 Q Let's talk briefly about loop conditioning.
5 It's my understanding that your position -- AT&T and MCI's
6 position is that there should be no costs associated with
7 the removal of load coils and bridge tap; is that correct?

8 A In a nonrecurring cost study; correct.

9 Q And if BellSouth's recurring cost studies do not
10 reflect the removal of load coils, how is it that
11 BellSouth is compensated for the actual work involved in
12 conditioning a loop?

13 A How I have compensated you is, I am paying you
14 rates through recurring charges today that puts in a new
15 network without loop conditioning.

16 Q Okay. So your view is that if by assuming that
17 BellSouth has built a forward-looking network with no load
18 coils and no bridge tap, BellSouth is adequately
19 compensated for the costs of actually sending the
20 technician out to do the work involved in removing the
21 load coils and the bridge tap?

22 A Yes. I -- let me caveat. You are being
23 compensated. To suggest that that compensation is
24 dedicated to going out and removing load coils, how you
25 use the money is up to you. The argument is that the --

1 number one, you would not put load coils into your network
2 today, yet you're asking for us to pay for their removal,
3 of course. And two, you know, the assumption is that the
4 recurring cost study is free of load coils provides
5 adequate revenue to have a network free of load coils.

6 Q Finally, Mr. King, let's just talk about
7 geographic deaveraging briefly. AT&T and MCI is not
8 proposing that switching or transport be geographically
9 deaveraged; is that correct?

10 A Correct.

11 Q AT&T is proposing that loops and subloops and
12 combinations involving the loops be deaveraged into six
13 zones, as I recall; is that correct?

14 A Correct.

15 Q Do you recall offhand what the weightings that
16 you have used for purposes of the geographic deaveraging
17 in each of the six zones?

18 A I'd have to look. I don't recall.

19 Q Would you agree, subject to check, that in
20 Zone 5, the zone weighting is approximately 273 percent?

21 A Subject to check.

22 Q And that the weighting to Zone 6 is
23 approximately 428 percent?

24 A Subject to check.

25 Q Let's assume -- let's take the existing

1 Commission-approved loop rate of \$17. Under AT&T and
2 MCI's proposal in using those zone weightings, would you
3 agree, subject to check, that the cost of a loop in
4 Zone 5 would be \$46.52?

5 A Subject to check.

6 Q And would you agree, subject to check, that in
7 Zone 6 the loop rate would be \$72.76?

8 A Subject to check.

9 Q How many unbundled loops does AT&T expect to buy
10 at \$46 or \$72 a pop?

11 A I do not know.

12 MR. ROSS: No further questions, Mr. Chairman.

13 CHAIRMAN DEASON: Staff.

14 MS. KEATING: Staff has no questions.

15 CHAIRMAN DEASON: Commissioners. Redirect.

16 MR. LAMOUREUX: Just a few questions.

17 REDIRECT EXAMINATION

18 BY MR. LAMOUREUX:

19 Q I want to ask, first, about the issue of install
20 and travel time in the nonrecurring cost study. When
21 we're talking about a loop -- and I want to use an example
22 of a loop, and particularly look at the cross box that's
23 in between the point of the loop at the central office and
24 the NID at the customer's premises -- is install and
25 travel time associated with the cross box on that loop

1 some of the nonrecurring charge for install and travel
2 that you eliminated?

3 A Yes.

4 Q Can you explain why it is that when I purchase
5 the entire loop, included within the recurring rate for
6 that already would be installation and travel time for
7 building that entire loop, including the cross box?

8 A Well, that is the entire assumption, is that to
9 build demand to any particular customer or end user
10 requires all the connections to be there in order to
11 provide service, and the basis of the recurring rates is
12 to develop or put together a working network. BellSouth,
13 of course, has a different approach, which is that nothing
14 works, and you have to pay a nonrecurring charge to make
15 everything work.

16 Q Let's talk about the question of order
17 coordination of hot cuts or whatever you want to call it.
18 I know that you testified this is not your issue. Do you
19 know whether AT&T is proposing the language in Exhibit C
20 that Mr. Ross showed you as the forward-looking means of
21 order coordination between BellSouth and AT&T?

22 A I did not know. Again, it was not my issue. I
23 am addressing it from a nonrecurring study relative to
24 forward looking. It does not suggest that AT&T has not
25 attempted to try to negotiate via a forward-looking

1 methods and procedures, but this apparently is the
2 language that is currently on the table in order to allow
3 it to happen.

4 Q Let's talk about fallout for a little bit,
5 specifically about fallout in the ordering process. I
6 think Mr. Ross talked to you about two types of fallout;
7 one of which being fallout because the electronic
8 interfaces cannot identify the cause of the error. Okay.
9 If that falls out to the LCSC because the interfaces
10 cannot determine the cause of the error, do you believe
11 ALECs should incur costs because of that?

12 A No, I do not.

13 Q Why not?

14 A Well, again, it is a function of operating
15 efficiently. It is a -- probably a better way of putting
16 that is that oftentimes the error -- oftentimes a CLEC's
17 order will actually identify an error that exists in
18 BellSouth's own databases, and it is something that had
19 our order never come across, they may not have ever found
20 out about it, so it was, more or less, something saying,
21 hey, I found something for you, don't penalize me for
22 this. I'm helping you to make your process better. So
23 that's kind of the angle that I have in the adjustments to
24 the model.

25 CHAIRMAN DEASON: Let me ask a question. Well,

1 then if you don't want to pay any of the costs to the LCSC
2 but, nevertheless, you submit an order that there is an
3 error that you made and it is something that cannot
4 readily be determined by the electronic means and someone
5 has to physically look at that to determine if it's your
6 error or BellSouth's error and they determine that it is
7 your error, wouldn't it send the right pricing signal to
8 you to charge you for that so that from now on you
9 wouldn't do that anymore?

10 THE WITNESS: Are the signals crossed? You
11 know, I look at it just the opposite way. The signal is,
12 you have identified something electronically for me, and I
13 need to fix it because I don't want to continue to send
14 you errors. All you're doing is looking at system
15 processing time. This is not a cost to an LCSC.

16 Where their cost comes in with the LCSC is that
17 they actually want to pick that order up on their side,
18 fix it, and move it on in. And they will send me a little
19 something back saying, you know, I fixed it, or that this
20 thing had errors, but it would not necessarily stop me
21 from continuing to send an error, you know, depending on
22 how the process gets worked out.

23 So I kind of take it the other way. I think the
24 signal should be to help drive the efficiencies versus
25 trying to penalize the CLECs or ALECs for identifying

1 errors that do already exist in their own databases. And
2 what I was getting at with Mr. Lamoureux before is,
3 usually the errors are a result of problems within one or
4 more databases that have all of the same information, but
5 one database says something -- you know, uses an address,
6 you know, address one versus address two, and it's simply
7 getting them in synch. It's a synchronization of
8 databases which have the same information. And all the
9 CLEC order did was just help identify to BellSouth that
10 there was a database error. It was not something that we
11 caused, per se. We didn't cause them to have the error in
12 the first place. We helped to identify the error.

13 So it falls into maintenance of their OSSs, and
14 that maintenance is part of the loading factors and all
15 the OSSs that exist today that get lumped into recurring
16 rates. So all I'm trying to do is to ensure that there is
17 consistency between our recurring and nonrecurring
18 studies, keep all of the -- you know, if you've got costs
19 being recovered in recurring such as the current OSS
20 systems, all the maintenance of those OSSs are already
21 thrown into recurring rates.

22 Because I've identified a problem through an
23 LSR, a local service request, going over to Bell, because
24 that identified the problem, BellSouth wants to charge me
25 again even though the recurring rates they are receiving

1 have some accountability for the maintenance and upkeep of
2 those systems in the first place. So it's almost like a
3 double whammy. I'm just trying to keep the processes in
4 synch, keep them together relative to both recurring and
5 nonrecurring rate development.

6 CHAIRMAN DEASON: Well, where is the incentive
7 for you to make sure that your orders are as accurate as
8 they can be?

9 THE WITNESS: Well, if they send me back an
10 order, I potentially jeopardized meeting customer due
11 date. I cannot afford to -- I mean, and I think even
12 BellSouth will acknowledge, customers want service now,
13 and it's very important that orders are placed properly
14 the first time, that you've done all the proper service
15 inquiries to get the right information about that customer
16 to get that populated properly on that order so it does
17 not have to have fallout.

18 And, you know, a lot of these NRCs, if you start
19 looking at some of these work times that are included in
20 there -- you know, if a CLEC were to order ten facilities,
21 it may take BellSouth a year if you just look at the work
22 times. So, I mean, there has to be some sanity check in
23 there as well from that perspective.

24 BY MR. LAMOUREUX:

25 Q Let me ask a follow-up question to that. If a

1 CLEC or an ALEC submits an order to BellSouth that has an
2 error on it and that error is returned to the ALEC, does
3 the ALEC incur cost in trying to fix the error on that
4 order?

5 A Yes. That same service rep that sent the error
6 the first time now has to fix it again, which is a cost of
7 doing business that AT&T would incur to do the same work
8 twice.

9 Q Would you believe that trying to minimize that
10 on internal cost is an incentive or a signal in trying to
11 get error-free orders?

12 A Sure.

13 Q In response to Mr. Ross, you said with respect
14 to ordering fallout that BellSouth's systems cannot return
15 all orders that have an error on them as of today. When
16 you say, "cannot," do you mean they are not capable of
17 doing that, or that they have not deployed systems that
18 are able to do that?

19 A I'd probably lean more towards the latter in
20 that, you know, capabilities are out there. It's just a
21 function of implementing them or deploying them or making
22 it happen.

23 MR. LAMOUREUX: That's all I have.

24 CHAIRMAN DEASON: Okay. Exhibits.

25 COMMISSIONER JABER: Chairman, can I follow up

1 on --

2 CHAIRMAN DEASON: Yes, sure.

3 COMMISSIONER JABER: In response to
4 Chairman Deason's question, did I understand you correctly
5 to say that sometimes BellSouth in lieu of returning them
6 will fix the error and accept the order?

7 THE WITNESS: Well, that is how their process is
8 set up today, except there are -- I mean, on those where
9 they have the electronic capability in place where they
10 have, you know, deployed it, those do get kicked back.

11 COMMISSIONER JABER: All right. So whether
12 BellSouth incurs a cost in fixing that error and then
13 passes the cost on to you, or whether you have to incur
14 the cost of fixing it when BellSouth kicks it back to you,
15 what's the difference?

16 THE WITNESS: Well, the difference is, is that
17 there shouldn't be any errors at all, and there should not
18 be any errors that entail manual intervention. And to the
19 extent that manual intervention does occur, I would rather
20 have control over my own people than to just blanketly
21 paying BellSouth, I guess would be the way I would phrase
22 that.

23 I mean, I can control the work activities and
24 work functions of my own work centers. That does not
25 necessarily -- you know, once you've made a decision and

1 allowed BellSouth's LCSC to have cost recovery and you
2 allow them to keep their 20 percent or 30 percent or
3 whatever fallout you decide, or I think generally they use
4 20 percent in their cost study, you have essentially said
5 that any going-forward efficiencies really don't matter
6 because Bell's already got a compensation mechanism in
7 place.

8 COMMISSIONER JABER: Compensation mechanism in
9 place, what do you mean by that?

10 THE WITNESS: Because that cost -- all of those
11 costs associated with that work center are included in
12 their cost study, and so it is part of what's driving
13 their rate proposal today.

14 COMMISSIONER JABER: Okay. So what you're --
15 then that would be true even if they kicked the order back
16 and let you fix any error that was a CLEC error?

17 THE WITNESS: It would be true that I still have
18 to pay my own people to fix it; correct. My goal is to
19 limit my expenses to interconnect.

20 MR. LAMOUREUX: May I ask a follow-up question?

21 CHAIRMAN DEASON: Yes.

22 FURTHER REDIRECT EXAMINATION

23 BY MR. LAMOUREUX:

24 Q If the cost of fallout is paid through a
25 nonrecurring charge to BellSouth that assumes a certain

1 percentage of fallout, does that provide any incentive to
2 BellSouth to reduce that fallout percentage?

3 A No.

4 Q If the cost of fallout is borne by the CLEC
5 because the errors are sent back to the CLEC for fixing,
6 does that provide an incentive to the CLEC to reduce the
7 fallout?

8 A I think as we mentioned earlier, the fact that
9 our own service representative is now having to spend
10 additional time on the same order, it takes them away from
11 another order that they could be potentially looking at,
12 and that all equates to new customers or revenue, so, yes,
13 I think the incentive is there.

14 COMMISSIONER JACOBS: How do you respond to the
15 argument, that I can't remember who made it, that there is
16 a point beyond which you're incurring too high an expense
17 to achieve a level of accuracy? That, in other words, it
18 is cost effective to have some manner of fallout.

19 THE WITNESS: To this systems -- to pay to have
20 systems in place versus to pay to have people in place?

21 COMMISSIONER JACOBS: Yeah.

22 THE WITNESS: Boy, I mean, this being a
23 communications-type industry, there's -- other than that
24 initial contact with a customer, there is really not a
25 whole lot that does not have some form of electronic or

1 mechanized capability within our work.

2 CHAIRMAN DEASON: Further redirect.

3 MR. LAMOUREUX: No. But I would move for
4 admission of Exhibits 135 and 136.

5 CHAIRMAN DEASON: 135 and 136, without objection
6 shall be admitted.

7 (Exhibits 135 and 136 admitted into the record.)

8 MR. ROSS: BellSouth moves 137 and 138 into the
9 record.

10 CHAIRMAN DEASON: Without objection,
11 Exhibits 137 and 138 are admitted.

12 (Exhibits 137 and 138 admitted into the record.)

13 CHAIRMAN DEASON: Thank you, Mr. King. You may
14 be excused.

15 (Witness excused.)

16 CHAIRMAN DEASON: The next witness is sponsored
17 by Z-Tel, Mr. McGlothlin.

18 MR. MCGLOTHLIN: Yes. On behalf of Z-Tel and
19 pursuant to the stipulation of parties, I request that
20 Dr. George Ford's testimony be inserted at this point.

21 CHAIRMAN DEASON: Without objection, it shall be
22 so inserted.

23 MR. MCGLOTHLIN: He has no exhibits.

24 CHAIRMAN DEASON: Very well.

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **REBUTTAL TESTIMONY**

3 **OF**

4 **GEORGE S. FORD**

5 **ON BEHALF OF**

6 **Z-TEL COMMUNICATIONS, INCORPORATED**

7 **DOCKET NO. 990649-TP**

8 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

9 A. My name is George S. Ford. I am the Chief Economist for Z-Tel Communications,
10 Incorporated ("Z-Tel"). My business address is 601 South Harbour Island Boulevard, Suite
11 220, Tampa, Florida 33602.

12 **Q. BRIEFLY DESCRIBE YOUR EDUCATION EDUCATIONAL BACKGROUND**
13 **AND RELATED PROFESSIONAL EXPERIENCE.**

14 A. I received a Ph.D. in Economics from Auburn University in 1994. My graduate work
15 focused on the economics of industrial organization and regulation with course work
16 emphasizing applied price theory and statistics. After graduate school I spend two years at
17 the Federal Communications Commission in the Competition Division of the Office of the
18 General Counsel. The Competition Division of the FCC was tasked with ensuring that FCC
19 policies were consistent with the goals of promoting competition and deregulation across the
20 communications industries. I left the FCC to become a Senior Economist in the Law and

1 Public Policy group at MCI Worldcom where I was employed for three years. MCI
2 Worldcom's Law and Public Policy group is responsible for developing MCI Worldcom's
3 public policy positions for both federal and state regulatory proceedings. While at MCI
4 Worldcom, I filed declarations and economic studies on a variety of topics with both federal
5 and state regulatory agencies. In addition to my professional experience, I am an Affiliated
6 Scholar with the Auburn Policy Research Center at Auburn University in Alabama. Through
7 this professional relationship, I have maintained an active research agenda on
8 communications issues and have published research papers in a number of academic journals
9 *Journal of Law and Economics*, the *Journal of Regulatory Economics*, the *Review of*
10 *Industrial Organization*, among others. I regularly speak at conferences, both at home and
11 abroad, on the economics of telecommunications markets and regulation.

12 **Q. COULD YOU DESCRIBE Z-TEL'S SERVICE OFFERINGS?**

13 A. Z-Tel is a Tampa-based, integrated service provider that presently provides competitive
14 local, long distance, and enhanced services to residential consumers in New York,
15 Pennsylvania, Massachusetts, and Texas, with plans to expand nationally as the unbundled
16 network element platform ("UNE-P") becomes available at reasonable rates. At present, Z-
17 Tel serves nearly 200,000 *residential* customers ("Z-Tel Increases Subscribers by 97%
18 During the Second Quarter to Reach a Total of 170,000," Company Press Release, Monday
19 July 10).

1 Z-Tel's service is not just a simple bundle of traditional telecommunications services, but
2 is unique in that it combines its local and long distance telecommunications services with
3 Web-based software that enables each Z-Tel subscriber to organize his or her
4 communications, including email, voicemail, fax, and even a Personal Digital Assistant
5 ("PDA"), by accessing a personalized web-page via the Internet. In addition, the personal
6 Z-Line number can be programmed to follow the customer anywhere he or she goes via the
7 "Find Me" feature. Other service features include low long distance rates from home or on-
8 the-road and message notification by phone, email, or pager. Customers can also initiate
9 telephone calls (including conference calls in the near future) over the traditional phone
10 network, using speed-dial numbers from their address book on their personalized web page.

11 **Q. WHAT INTEREST DOES Z-TEL COMMUNICATIONS HAVE IN THIS**
12 **PROCEEDING?**

13 A. The Z-Tel service bundles many different communications services – voicemail, email,
14 fax, Internet, PDAs, local and long distance telecommunications – into an easy-to-use
15 communications control center. One element of that bundle is local exchange
16 telecommunications service. To provide the local exchange portion of its service offering,
17 Z-Tel must purchase unbundled network elements from incumbent local exchange carriers.
18 At present, the primary means of local exchange service provision is UNE-P. Because Z-Tel
19 is dependent upon the local exchange carrier's UNEs to provide service at this time, Z-Tel's
20 interest in this and related proceedings where the cost of UNEs will be determined is
21 apparent. The recurring and non-recurring costs for UNEs are a substantial percentage of Z-

1 Tel's costs. Further, Z-Tel is based in Tampa, Florida. Consequently, Z-Tel has a sincere
2 interest in offering its services to residential consumers in the State of Florida.

3 **Q. WHAT ELEMENTS OF THIS PROCEEDING ARE IMPORTANT TO A ALEC'S**
4 **ABILITY TO OFFER SERVICE IN THE STATE OF FLORIDA?**

5 A. A ALEC's decision to offer service in Florida's local exchange market - or any other
6 market for that matter - depends critically on the expected relationship between the revenues
7 and costs. Revenues must be sufficiently large to cover all expenses including the cost of
8 UNEs and the ALEC's own internal cost. The cost of UNEs can be a substantial share of per-
9 customer cost and this is particularly true for a ALEC offering competitive service to the
10 residential market with UNE-P.

11 **Q. WILL THE RATES DETERMINED IN THIS PROCEEDING EFFECT THE**
12 **PROSPECTS FOR COMPETITION IN THE STATE OF FLORIDA?**

13 A. Absolutely. The prospect for competition is inversely related to the prices for UNEs - the
14 higher the rates, the less likely competition will develop. Inflated non-recurring charges
15 (NRCs), in particular, are potent entry barriers. In setting the rates for UNEs, the FLPSC will
16 determine whether or not the residents of Florida will reap the full benefits of a competitive
17 local exchange telecommunications market. In fact, because all three of Florida's ILECs
18 (BellSouth, GTE, and Sprint) have proposed their own rates, and these rates differ
19 substantially, the FLPSC will determine *which* Floridians reap the benefits of a competitive
20 local exchange market. It is possible that the benefits of competition will be restricted to

1 regions served by particular carriers whose UNE rates are reasonable while the monopoly
2 status-quo remains in other regions where UNE rates are in excess of cost.

3 **Q. HAVE YOU REVIEWED THE UNE COST MODELS SUBMITTED IN THIS**
4 **PROCEEDING BY BELLSOUTH?**

5 A. Yes. I have reviewed the testimony related to and the manuals of the cost models
6 submitted on behalf of BellSouth - Florida ("BS-FL").

7 **Q. AS AN ECONOMIST, WHAT IS YOUR VIEW OF THE BS-FL MODELS?**

8 A. With a few relatively minor changes -- some of which are described in my testimony and
9 other in the testimony sponsored by other ALECs -- I believe the BS-FL cost model can
10 produce reasonable estimates of UNE costs. UNE rates that incorporate these and other
11 recommended changes may make it possible for the citizens of Florida, at least those located
12 in BS service areas, to begin experiencing the benefits of competition in the local exchange
13 market. These benefits are already accruing to residential consumers in New York as
14 discussed in the testimony of Mr. Gillan.

15 **Q. GIVEN THE 8TH CIRCUIT DECISION, DO YOU BELIEVE ALTERATIONS TO**
16 **THE COST MODELS ARE REQUIRED?**

17 A. I have reviewed the decision of the 8th Circuit. However, I am not prepared to make any
18 firm recommendations as to its interpretation at this point. The testimony of Mr. Gillan does
19 consider the impact of the Court's decision and, in general, I concur with his analysis.

1 However, I am not prepared at this time to recommend specific changes to the models to
2 bring them into compliance with the decision. Even if the models need to be changed in the
3 future to become more compatible with the 8th Circuit's decision, there is no reason to put
4 off the prospect for competition in Florida during the interim period by delaying this
5 proceeding.

6 **Q. WILL YOU PLEASE SUMMARIZE YOUR RECOMMENDED CHANGES?**

7 A. Yes. First, some of the changes I recommend were covered in Phase 1 of this proceeding.
8 In particular, Phase 1 included testimony related to the cost of capital and depreciation lives.
9 Both of these inputs have a meaningful effect on UNE rates, so I encourage the Commission
10 to carefully consider the testimony filed on these issues in Phase I. Generally, I support the
11 testimony and conclusions reached by John Hirshliefer regarding the cost of capital and
12 Michael Majoros regarding depreciation. The cost of capital, in particular, has a substantial
13 effect on UNE rates and, therefore, a substantial effect on the prospect for competition.
14 Because those issues have been covered in detail earlier in this proceeding, my current
15 testimony does not address either the cost of capital or depreciation.

16 **Q. WHAT RECOMMENDATIONS ARE COVERED IN YOUR TESTIMONY?**

17 A. I believe the BS-FL model uses the inappropriate discounts to estimate switching
18 investments. Specifically, I believe the computation of the "replacement" discount is flawed.

1 **Q. WHAT DISCOUNTS DOES BS-FL APPLY TO SWITCH INVESTMENTS?**

2 A. According to the testimony of Joseph Page, switch vendors offer a bi-furcated discount
3 structure in which the purchase of a new switch is subject to a larger discount (the
4 "replacement" discount) than the purchase of an upgrade to an existing switch (i.e., the
5 "growth" discount). For growth discounts, the BS-FL model uses those discounts "[s]tated
6 in BellSouth's contracts with the switch vendors (Page Testimony, p. 23)." However, for
7 replacement discounts, BS-FL does not use contracted discounts but computes discounts
8 based on a comparison of historical contract prices to the current (non-discounted) output of
9 SCIS/MO. No reason is given why the contracted "replacement" discounts are not employed.

10 **Q. DOES THIS APPROACH TO CALCULATING DISCOUNTS UNDERSTATE**
11 **THE DISCOUNT?**

12 A. Possibly, yes. From the testimony of Joseph Page (p. 23), it appears as if the
13 "replacement" discount is computed using the following formula:

14
$$d = 1 - P_h/P_c$$

15 where d is the discount, P_h is the historical price paid for replacement offices, and P_c is the
16 current (non-discounted) price estimated by SCIS/MO. For example, if the historical price
17 is \$1M and SCIS/MO estimates the price as \$2M, then the discount is 50%.

18 In a world of declining switch prices (as described in Mr. Page's Testimony, p. 10), BS-FL's
19 computation of the replacement discount potentially is understated. To illustrate, assume the

1 historical, undiscounted price was the switch investment was \$3M. At this price, the discount
2 received at the time of purchase was 66% ($= 1 - \$1M/\$3M$) not the 50% calculated in the
3 numerical example above. Thus, using the BS-FL approach to calculate the replacement
4 discount, rather than using contract discounts as in the case of growth discounts, may deflate
5 the replacement discount and raise switching costs. Switching cost are an important cost
6 element of UNE-P, so inflated switching costs may impede competition.

7 **Q. WERE YOU ABLE TO MEASURE THE IMPACT OF THE BS-FL**
8 **COMPUTATION ON THE REPLACEMENT DISCOUNT?**

9 A. No. It is unclear what effect this approach actually has on the discount, since the specifics
10 regarding the calculations were not provided in Mr. Page's testimony. Nor have I personally
11 reviewed any switch contracts between BS-FL and its switch vendors.

12 **Q. WHAT DO YOU RECOMMEND?**

13 A. If possible, the "replacement" and "growth" discounts should both equal the stated
14 discounts in BellSouth's contracts. I see no reason (other than to reduce the discount) why
15 the replacement discount should be treated differently than the "growth" discount. If there
16 is a valid reason the "replacement" discounts cannot be obtained directly from contracts, then
17 the historical contract prices and the non-discount prices from SCIS/MO must be from the
18 same time period to avoid discount deflation. If prices change frequently, the time periods
19 chosen for price comparisons are most relevant.

1 **Q. DOES THAT CONCLUDE YOUR TESTIMONY?**

2 A. Yes.

1 CHAIRMAN DEASON: BellSouth, has extensive is
2 your cross-examination for Witness Murray?

3 MR. ROSS: Mr. Chairman, I don't have that many
4 questions. I would like to think we can get concluded
5 with my cross-examination in 30 minutes, depending on the
6 answers.

7 CHAIRMAN DEASON: Thirty minutes. We're going
8 to keep rolling then. On second thought, we're going to
9 take a ten-minute recess.

10 (Brief recess.)

11 (Transcript continues in sequence in Volume 16.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER


3 COUNTY OF LEON)

4 I, TRICIA DeMARTE, Official FPSC Commission Reporter,
5 do hereby certify that the Hearing in Docket No. 990649-TP
6 was heard by the Florida Public Service Commission at the
time and place herein stated.

7 It is further certified that I stenographically
8 reported the said proceedings; that the same has been
transcribed under my direct supervision; and that this
9 transcript, consisting of 196 pages, Volume 15 constitutes
a true transcription of my notes of said proceedings and
10 the insertion of the prescribed prefiled testimony of the
witness(s).

11 I FURTHER CERTIFY that I am not a relative, employee,
attorney or counsel of any of the parties, nor am I a
12 relative or employee of any of the parties' attorney or
counsel connected with the action, nor am I financially
13 interested in the action.

14 DATED this 25th day of September, 2000.

15
16 
17 TRICIA DeMARTE
FPSC Official Commission Reporter
18 (850) 413-6736

19
20
21
22
23
24
25