

FILED
THOMAS D. HALL
MAY 25 2001

CLERK, SUPREME COURT
BY

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of : DOCKET NO. 001064-EI
:
PETITION FOR DETERMINATION :
OF NEED FOR HINES UNIT 2 :
POWER PLANT BY FLORIDA :
POWER CORPORATION. :

*
* ELECTRONIC VERSIONS OF THIS TRANSCRIPT *
* ARE A CONVENIENCE COPY ONLY AND ARE NOT *
* THE OFFICIAL TRANSCRIPT OF THE HEARING *
* AND DO NOT INCLUDE PREFILED TESTIMONY. *
*

VOLUME 4

Pages 313 through 498



PROCEEDINGS: HEARING
BEFORE: COMMISSIONER E. LEON JACOBS, JR.
COMMISSIONER LILA A. JABER
COMMISSIONER BRAULIO L. BAEZ
DATE: Thursday, October 26, 2000
TIME: Commenced at 8:40 a.m.
PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida
REPORTED BY: KORETTA E. STANFORD, RPR
Official Commission Reporter
APPEARANCES:
(As heretofore noted.)

I N D E X

	WITNESSES	PAGE NO.
1		
2		
3	JOHN B. CRISP	
4	Redirect Examination by Mr. Sasso	316
	Recross Examination by Ms. Brownless	344
5		
6	ALAN S. TAYLOR	
7	Direct Examination by Mr. Sasso	349
	Prefiled Testimony Inserted	352
	Cross Examination by Ms. Brownless	371
8	Redirect Examination by Mr. Sasso	398
9		
10	ROBERT D. NIEKUM	
	Prefiled Direct Testimony Inserted	403
11		
12	ERIC G. MAJOR	
	Direct Examination by Mr. Walls	418
	Prefiled Direct Testimony Inserted	420
13	Cross Examination by Ms. Brownless	433
	Cross Examination by Ms. Hart	465
14	Redirect Examination by Mr. Walls	468
15		
16	W. JEFFREY PARDUE	
	Prefiled Direct Testimony Inserted	472
17		
18	PETER M. O'NEILL	
	Prefiled Direct Testimony Inserted	487
19		
20		
21		
22		
23		
24		
25		

I N D E X (Continued)

EXHIBITS

NUMBER		ID.	ADMTD.
12	(Late-Filed) PWRR Analysis	349	
13	Alan S. Taylor's CV	368	401
14	RDN-1, 2, 3, 4 and 5	418	418
15	EGM-1, 2, 3, 4, 5 and 6	431	470
16	(Late-Filed) FPC treatment of reservation fee	467	
17	PMO-1 and PMO-2	496	496

CERTIFICATE

498

P R O C E E D I N G S

(Transcript continues in sequence from Volume 3.)

COMMISSIONER JACOBS: Good morning. We'll go back on the record. And, I believe, we were about to do redirect for Mr. Crisp.

JOHN B. CRISP

continues his testimony under oath from Volume 3:

REDIRECT EXAMINATION

BY MR. SASSO:

Q All set?

A Yes.

Q Mr. Crisp, Ms. Brownless was asking you yesterday some questions about Florida Power Corporation's RFP. In developing that RFP, did you have occasion to review RFPs that were used by other utilities?

A Yes, we did.

Q In fact, did you take it upon yourself to review the Gulf Power RFP that had been approved and reviewed by the Commission?

A Yes, sir.

MR. SASSO: I have a certified copy of that RFP, and I'll give the original to the clerk, and then, I have copies for everybody.

COMMISSIONER JACOBS: That's the same version that's in the -- is that in this package, the big package?

1 MR. SASSO: This is the Gulf Power.

2 COMMISSIONER JACOBS: Oh, I'm sorry.

3 MS. BROWNLESS: I think, at this time we would
4 object to this piece of evidence, if it's going to be
5 proffered.

6 COMMISSIONER JACOBS: Okay. State your
7 objection.

8 MS. BROWNLESS: Well, what Mr. Crisp has
9 testified to is that he's reviewed this RFP. He cannot
10 testify as to the authenticity of this document because, I
11 assume that he did not prepare it. All he can testify to
12 is that this is a document, and he reviewed it. And if
13 his testimony is limited to that, that's fine, but he
14 can't authenticate this as being a true and correct copy
15 of the RFP document.

16 MR. SASSO: Mr. Chairman, that's why we have a
17 certified copy from the Clerk of the Public Service
18 Commission.

19 COMMISSIONER JACOBS: This is the document
20 that's been filed with the Commission?

21 MR. SASSO: Exactly.

22 MS. BROWNLESS: Where is it certified? I don't
23 see any --

24 MR. SASSO: I gave the original to the clerk,
25 Ms. Brownless. If you'd like to see it, I can bring it

1 over to you.

2 MS. BROWNLESS: Yes, I would like to see it.

3 COMMISSIONER JACOBS: If it is a document that
4 is on file with the Commission, we can take official
5 recognition of it. Would you agree with that?

6 MS. BROWNLESS: Sure. I just want to make sure
7 that this copy is the same thing.

8 Thank you. Great, thanks.

9 COMMISSIONER JACOBS: So, rather than --

10 MS. BROWNLESS: I'll withdraw my objection,
11 then, thank you.

12 COMMISSIONER JACOBS: Okay.

13 BY MR. SASSO:

14 Q Mr. Crisp, did you take into account this RFP in
15 developing Florida Power's RFP?

16 A Yes, sir, we did.

17 Q And can you tell me how the Gulf Power RFP
18 compares to the Florida Power RFP with respect to the
19 discussion methodology?

20 A Yes. In reviewing the Gulf Power RFP evaluation
21 methodology, we reviewed it in detail. We found that it
22 was a good description of the evaluation process. We, in
23 fact, used the analysis process and the methodology in our
24 RFP. In fact, we made our methodology somewhat more
25 detailed.

1 Q All right. Now, the Gulf RFP, reading from Page
2 6, under proposal evaluation, paragraph 2, says that
3 "Proposals that pass the preliminary responsiveness
4 screens will be further evaluated using appropriate
5 production costing methods and models so that all
6 reasonable cost impacts can be quantified."

7 Is that similar to the language that Florida
8 Power used in its RFP?

9 A Yes, sir.

10 Q Did Gulf indicate that they were going to use
11 PROSYM or PROSCREEN?

12 A No, sir.

13 Q Now, Mr. Crisp, in dealing with Panda during the
14 RFP process, did the representatives of Panda complain at
15 any time to Florida Power Corporation about its RFP?

16 A No, sir, they did not.

17 Q Did the representatives at Panda complain at any
18 time to Florida Power about the process?

19 A No, sir.

20 Q Did the representatives of Panda have
21 opportunity to ask for clarification, get information, to
22 interact with Florida Power Corporation during the
23 process?

24 A Yes, sir, very much so. We had several
25 interactive sessions with Panda to provide them such

1 opportunities.

2 Q Did Panda attend the pre-bid meeting that you
3 conducted?

4 A Yes, sir.

5 Q How was that meeting conducted?

6 A From what standpoint, how is the meeting
7 conducted?

8 Q Did participants have the opportunity to ask
9 questions, receive information and clarification?

10 A Yes, sir. A presentation was given at first,
11 generally, describing the RFP process. And then, the
12 floor was opened to questions from all participants so
13 that everyone could share questions. And all those
14 questions were documented, and a full transcription of the
15 meeting was prepared and put on a web site.

16 Q Did you receive any complaints from any of the
17 participants about the RFP or the process that you were
18 using?

19 A No.

20 Q Mr. Crisp, do you have experience with other
21 bids, other RFPs?

22 A Yes, sir, I do.

23 Q Can you tell us what that is, please?

24 A I've participated in 9 successful RFPs; that
25 means, all the way from the initial -- the planning and

1 the request for proposal, all the way through the
2 negotiation process and to the completion and construction
3 of the facility. And that totals over 4,000 megawatts of
4 generating capacity.

5 Q Based on your experience, what have you observed
6 about the nature of opening bids?

7 A Opening bids are, I guess, in the terms of some
8 of the people that do these things, are called a beauty
9 contest. That's where everybody puts in their best --
10 they put their best foot forward. They know they've got a
11 considerable amount of competition, and they've got to
12 come in the lowest that they possibly can to get on the
13 short list. That's the intent is to try to get on out
14 there and beat everybody else at the first few steps. So,
15 it is the best possible price you can put forward.

16 Q And based on your experience, what happens to
17 the price after that beauty contest offered, typically, as
18 you go through discussions and negotiations?

19 A Prices become higher.

20 Q Now, in this case, did Panda have any reason to
21 know how many other bidders were participating in the
22 process or who had submitted bids?

23 A They certainly did. At the pre-bid meeting
24 there were 13 to 10 deeds, 13 companies represented. And
25 there were 12 that provided notice of intent.

1 Now, from Panda's perspective, knowing that
2 there were 13 companies represented at the pre-bid meeting
3 and that the fact was that with 12 providing a notice of
4 intent, there's considerable amount of competition going
5 on at this point.

6 So, from the bidder's perspective, they've got
7 to go out and beat what they perceive to be the level of
8 competition in the field that's out there right at that
9 point and time. To the best of their knowledge, that's
10 who they've got to beat. It's not a two-bid issue at that
11 time. It's a full complement of all of the bidders coming
12 after this perspective bid.

13 Q In fact, did you ever tell Panda during the
14 process that there were only two bidders?

15 A No.

16 Q So, from all they knew, they were competing
17 against 12 bidders?

18 A That's correct.

19 Q Now, you mentioned, in discussing this with
20 Ms. Brownless, that it's possible that the terms and
21 conditions of a proposal might change in final
22 negotiations. Can you explain how that works in your
23 experience?

24 A Yes. Generally, in negotiating terms and
25 conditions, as you get into more of the operating details

1 of how the plant's going to be operated, what happens is
2 the bidder tends to say that's not what I expected, so I
3 need to change a reflective price.

4 So, for instance, start-up costs can go up, O&M
5 can go up, capacity charges and energy charges or variable
6 O&M charges can be adjusted as you go through the terms
7 and conditions. Discussions of availability may lead to
8 some negotiation that ultimately results in a list, an
9 acceptable list offer, that's less acceptable to the
10 purchaser.

11 Q Now, in fact, in this case, Panda initially
12 provided a 250 megawatt power block, and you went back and
13 asked them to provide another 250 megawatt power block; is
14 that right?

15 A That's right.

16 Q And they did offer you another 250 megawatt
17 power block, correct?

18 A That's correct.

19 Q Was that more expensive or less expensive than
20 the first one?

21 A It was considerably more expensive. It was
22 \$9.10 a kW month versus the original block of \$6.75 kW a
23 month. So, that's approximately 30% higher.

24 Q Now, you also asked Panda to try and meet your
25 long-term need and gave you a commitment beyond five

1 years; is that right?

2 A That's correct.

3 Q And how did they respond to that?

4 A They would not go past the 5-year contract
5 offering. They wanted to take the additional megawatts
6 and proceed back out into the market as a merchant
7 operation.

8 Q All right. Now, in this instance, in fact, you
9 only had two bidders, you didn't have all 12 people
10 participate by making proposals. Did that have any impact
11 on the amount of time and attention you were able to give
12 to those two bids?

13 A Yes, it did. We had considerably more time to
14 spend with each one of the two proposals, obviously, so we
15 went to a greater degree of detail in working with each
16 one of the bidders in give and take and gathering
17 additional information and using that information to
18 evaluate the bids.

19 Q Do you feel that was an advantage for Panda or
20 disadvantage?

21 A Considerably, because Panda's original offer --

22 Q Was it an advantage or a disadvantage?

23 A I'm sorry. It was a considerable advantage for
24 Panda.

25 Q And why is that?

1 A Because it gave Panda additional opportunities
2 to talk with us, to come back and make the additional
3 offering for the second power block and to provide
4 additional information concerning the proposal that they
5 had not made in the first place.

6 Q Now, originally, in your RFP you had
7 contemplated that you would have an initial process and
8 then you would winnow down the list to a short list and
9 then have negotiations. Because you had only two bidders,
10 were you actually participating in some negotiations with
11 these bidders?

12 A Yes, we were. We were going through a
13 considerable amount of information that would have
14 happened. As I said, we went through the initial
15 screening, then we went through a supplemental screening.

16 In that process, you're going through
17 discussions with the bidder in gathering additional
18 information, providing additional information, more
19 detailed information that would happen in a short list
20 environment.

21 Q Now, there came a time, as I understand it, when
22 you contacted Mr. Doaks and indicated to him, Panda's
23 representative, that you were not going to be pursuing a
24 proposal any longer. At that time, did Mr. Doaks or
25 anyone from Panda tell you that they hadn't given you

1 their best price yet?

2 A No.

3 Q Did they tell you they had more value to give
4 you and they wished that you would continue with
5 negotiations?

6 A No, they made no indication of that.

7 Q Did you have any reason to expect that if you
8 continued with discussions with Panda that their proposal
9 would get any better?

10 A No.

11 Q Now, you also had a series of questions about
12 Florida Power Corporation's answers to Interrogatory
13 Number 19. And, I believe, this is set forth in -- these
14 answers are set forth in Exhibit Number 7. Do you have
15 that in front of you?

16 A Yes, I do.

17 Q Could you turn to the third page of this
18 document, which is production costing runs for the Panda
19 530 case?

20 A I'm there.

21 Q And look at the fourth column over after the
22 year. It's captioned, "New Resource Fuel and O&M Revenue
23 Requirement." Do you see that?

24 A Yes, sir.

25 Q Do you remember yesterday Ms. Brownless asked

1 you a series of questions about the numbers for years
2 2004, 2005, indicating that those numbers were higher for
3 Panda --

4 A Yes, I do.

5 Q -- than for Hines? And you talked about the
6 fact that these numbers reflected fuel and O&M. Were
7 Panda's numbers higher because you were attributing to the
8 Panda project a higher fuel cost?

9 A No, I was not.

10 Q Can you explain why those numbers are higher for
11 Panda?

12 A Those numbers are higher, because that includes
13 the capacity payment for Panda.

14 Q Why did you include the capacity payment in that
15 column?

16 A Because capacity and energy payments are passed
17 through to the ratepayer.

18 Q Is that with respect to power purchase
19 agreement?

20 A That's correct.

21 Q But that's not true for the Hines project.

22 A That's correct.

23 Q Not with the production costing runs.

24 A That's correct.

25 Q That would depend on cost recovery issues, which

1 we're not addressing today; is that right?

2 A That's correct.

3 COMMISSIONER JACOBS: Could you walk me through
4 that discussion once again. What you're saying is that
5 capacity cost of Hines aren't being figured into the
6 installation cost?

7 BY MR. SASSO:

8 Q Maybe we can do it this way. Mr. Crisp, if you
9 can just compare the column on the third page of this
10 exhibit for Panda 530 case for Panda against the same
11 column for Hines 2 and tell us what explains the
12 difference, the discrepancy.

13 A You're talking about the new resource fuel and
14 O&M revenue requirement?

15 Q Yes, sir.

16 A Okay. For the year -- if you will look, please,
17 at the previous page as well, Hines 2 case, Interrogatory
18 19, you'll notice that in the year 2004, the number in the
19 fuel and O&M revenue requirement is 71065. In the
20 following page on the Panda 530 case, you'll notice that
21 the number is one hundred 156; in other words, the Panda
22 case is showing a roughly \$29 million higher number. That
23 \$29 million is associated with the capacity payment, as
24 well as fuel and O&M.

25 Q And with respect to a power purchase agreement

1 under the regulatory policy in Florida, how does the
2 company recover the cost of the capacity and fuel paid
3 under a power purchase agreement?

4 A Through recovery clauses.

5 Q So, those are passed directly through to the
6 ratepayer?

7 A That's correct.

8 MR. SASSO: Mr. Chairman, does that address your
9 question?

10 COMMISSIONER JACOBS: (Inaudible response.)

11 BY MR. SASSO:

12 Q Now, with respect to Panda's fuel cost, I
13 believe, Ms. Brownless implied through her questions
14 yesterday that if Panda was able to negotiate a better
15 fuel price in the future, Florida Power might benefit from
16 that. Can you tell us how the Panda proposal was actually
17 bid to Florida Power on fuel cost?

18 A The Panda proposal was bid on the basis of fuel
19 being supplied by Gulfstream.

20 Q And was it given on the basis of a particular
21 price or a gas price index?

22 A Yes. It was provided -- the Panda proposal
23 included a statement that said gas would be provided on an
24 index basis; in other words, an index for Florida would be
25 established, and that would be the reflected gas price.

1 Q All right. And was this index intended to be
2 representative of the market price for gas in Florida?

3 A The index is trended along with the market.

4 Q So, let's suppose that the market price for
5 natural gas rose in the future. Would Florida Power
6 Corporation be expected to absorb that under Panda's
7 proposal?

8 A That's correct.

9 Q But let's suppose Panda was, in fact, able to
10 negotiate a below market gas arrangement in the future.
11 Who would get the benefit of that under their proposal?

12 A The Panda owners.

13 Q Now, let's suppose that Florida Power were able
14 to negotiate a more advantageous below market gas
15 arrangement in the future. Who would get the benefit of
16 that if Florida Power builds the Hines plant?

17 A The Florida Power Corporation ratepayers.

18 Q Now, also, with respect to the heat rate,
19 Ms. Brownless was asking you questions about heat rate and
20 isn't it possible for Panda to improve upon its heat rate
21 in the future. How did Panda bid its heat rate to Florida
22 Power Corporation as part of its proposal?

23 A They quoted a fixed heat rate.

24 Q Now, let's suppose that Panda were actually able
25 to achieve a better performance in the future. Who would

1 get the benefit of that?

2 A The Panda owners.

3 Q Now, let's suppose Florida Power were able to
4 achieve a better efficiency than its heat rate indicated
5 in the future. Who would get the benefit of that?

6 A Florida's ratepayers.

7 Q Now, did Panda have any gas contracts in place
8 at the time that Panda was making its proposal?

9 A Not to my knowledge, no.

10 Q Who did Panda reflect as the potential source or
11 the expected source of gas supplier for that project?

12 A The Gulfstream.

13 Q And did Gulfstream have a pipeline in Florida at
14 that time?

15 A No, they do not.

16 Q Now, with respect to the Hines 2 project, what
17 assumption did you make about the source of natural gas?

18 A We assumed FGT supply.

19 Q Was that conservative or aggressive in
20 relationship to Panda's proposal?

21 A It's very conservative.

22 Q Now, did you perform any sensitivities where you
23 assumed that you might also be able to obtain supply from
24 Gulfstream?

25 A Yes, we did.

1 Q And what did that indicate?

2 A It indicated that the net effect of going from
3 FGT to Gulfstream for the Hines project would save an
4 additional \$17 million.

5 Q Over the Panda project?

6 A That's correct.

7 Q Okay. Now, we also spent a good deal of time
8 yesterday talking about comparing Panda to Hines on the
9 basis of a 5-year run looking at just the two projects on
10 a 5-year basis. Why didn't you stop the computer at five
11 years?

12 A Because we have a need for the full 25-year time
13 frame.

14 Q As a result of your participation in the reserve
15 margin docket and in your capacity as the director of
16 planning for Florida Power Corporation, have you gained an
17 understanding of the Public Service Commission's Staff's
18 position on reliance by utilities on unspecified purchases
19 to meet reserve margin obligations in the last five years
20 of their planning period?

21 A Yes, sir.

22 Q And what is that position?

23 A Staff is not tolerant of not identifying the
24 sources from which the utilities will be meeting their
25 load requirements. They don't like unspecified amounts of

1 capacity in their 10-year site plan to meet their load
2 requirements.

3 Q All right. Let's just assume, for the sake of
4 argument, that it was possible or appropriate to make a
5 5-year comparison. If you look at the answer to
6 Interrogatory Number 19 again and if you were to compare
7 the Hines 2 case, which is the second page, against the
8 Panda 530 case, and if you were to stop the computer at
9 five years and take a snapshot there after five years in
10 service, which would be the year 2008, would the Hines
11 case still be more cost-effective than the Panda case?

12 A Yes, it would.

13 Q And, in fact, you did 25-year runs, and Ms. Hart
14 asked you some questions about isn't it possible that as
15 you go further out into the future, 20 years, 25 years,
16 fuel projections and load forecasts may be more
17 speculative. What is the cause for the difference, the
18 discrepancy or the delta, as you might say, between the
19 Hines case and the Panda case? Is it based on some
20 projections about what might happen with fuel 20 years out
21 or 25 years out?

22 A No. It's right up in the front. It's the
23 difference in the total value of the Hines plant versus
24 the Panda proposal in those two to five years.

25 Q And what was the best case for the Panda

1 proposal?

2 A The best case for the Panda proposal, Hines beat
3 Panda by approximately \$60 million.

4 Q But in terms of the number of years that Panda
5 might be operating, what was the best scenario for Panda,
6 how many years?

7 A A 2-year term.

8 Q So, is it fair to say that the cost impact was
9 attributable to substituting Panda for just those two
10 years?

11 A That's correct.

12 Q And it wasn't attributable to some assumptions
13 you were making about fuel 25 years out?

14 A It had nothing to do with that.

15 Q Now, with respect to the runs that you did make,
16 were you assuming straight line depreciation for Hines 2?

17 A Yes, sir.

18 Q What impact does that have on the cost
19 allocation over the 25 years?

20 A Straight line depreciation on a capital project
21 tends to heavier weight the capacity component, the
22 capacity payment, for the Hines project in the front end
23 of the project.

24 Q What if you were just to average the cost of
25 Hines over 25 years and then you were to compare Hines to

1 Panda over those five years. Would that make Hines more
2 attractive or less attractive?

3 A Much more attractive.

4 Q Now, Panda also offered you -- didn't offer, but
5 -- let me put it this way.

6 Panda proposed to build two plants of 1,000
7 megawatts in Florida; is that right?

8 A That's correct.

9 Q And, as I understand the proposal, they offered
10 to make a commitment of 530 megawatts for five years; is
11 that right?

12 A That's correct.

13 Q And was that the maximum commitment they were
14 prepared to make out of those plants?

15 A The maximum commitment was 530 megawatts.

16 Q Were you able to obtain a firm commitment for
17 any other capacity out of either of those plants for
18 Panda?

19 A No, sir.

20 Q Would you be able to count any of the remaining
21 1,500 megawatts toward Florida Power's reserve margin, if
22 they went ahead and built those plants.

23 A No, sir.

24 Q Now, we also had some discussion yesterday
25 comparing combustion turbines to peakers. Ms. Hart asked

1 you some questions about that. Do you have before you
2 Staff Exhibit Number 10?

3 A Yes, I do.

4 Q Could you turn to the second to last page which
5 is 000064?

6 A I'm there.

7 Q I may have misstated what we were about to talk
8 about. As I understand it, the comparison was between
9 combustion turbines and peakers -- I'm sorry, combined
10 cycle and combustion turbine peakers. I misstated it
11 again. Can you tell us what this exhibit indicates; what
12 is this and what does it indicate?

13 A Well, what Staff asked us to do was to force a
14 peaker in, in the first -- instead of building Hines 2 in
15 the first year. And when we did, we forced the peaker in.
16 The expense was considerably higher than the Hines option.
17 And by that, it was \$148 million higher than the revenue
18 requirements for the Hines project. It also ultimately,
19 when you put that peaker in, it only satisfies the need
20 for one year. We immediately had to follow it up again
21 with the Hines 2 project right behind that.

22 Q Now, we also had some discussion with Ms. Hart
23 about the fact that the cost impact of selecting Panda
24 over Hines or the savings, to put it differently, of Hines
25 over Panda, amounted only to a small percentage of the

1 company's total system cost. Could you explain, again,
2 what's in the denominator of that fraction?

3 A I understand. As I recall, we were talking
4 about maybe a 1/4% or a 1/2% difference in the
5 comparisons. And what we were talking about there is what
6 they were using as the denominator, they're using the
7 entire total production cost over a 25-year time frame of
8 the entire Florida Power Corporation fleet. Every single
9 unit, nuclear, coal, peakers, everything, all of -- or
10 fuel, all of those costs were used in the denominator.
11 And that is very much an apples to bananas comparison.

12 Q Now, are the cost savings that may be associated
13 with any one plant ever going to be large as a percentage
14 of your total system cost?

15 A No, they're not.

16 Q Can you approximate the cost savings as a
17 percentage of the total cost of this one unit?

18 A If you look at the Hines unit by itself, the
19 cumulative revenue requirements for Hines, for the life
20 span, is approximately \$360 million. So, if you took the
21 benefit to the Hines project, how much money we saved by
22 doing Hines, which is roughly \$60 million, and divide by
23 360 or put the 360 in the denominator, you're talking
24 about an 18% savings for the ratepayers by doing the Hines
25 project versus the Panda project.

1 Q And do you expect that would be significant to
2 your ratepayers?

3 A \$60 million should be very significant to the
4 ratepayers, absolutely.

5 Q Now, with respect to cost-effectiveness,
6 Ms. Hart asked you whether the production costing runs
7 were a significant contributor to your decision and, I
8 believe, you indicated that they were. Were there other
9 factors that contributed to your conclusion that the Hines
10 plant was a more cost-effective alternative?

11 A Yes, there were.

12 Q Can you tell us what those factors were?

13 A Yes, sir. We'll start with the fact that you're
14 building a second plant on a site. The Hines 2 plant
15 would be the sister plant, if you will, to the Hines 1
16 plant. So, there are economies of scale. You've got
17 similar spares on the side. So, you'd have savings to the
18 ratepayers from spares inventories, and those are
19 considerable savings.

20 You have duplicate systems; in other words, for
21 the system control of those two individual generating
22 units, the system control components can be similar or are
23 the same. You can use one for both of them. You've got
24 one cooling pond that's already built, and it's adequate
25 for the second Hines unit, so you don't have to build a

1 cooling pond. And that's just the site benefits.

2 There's dispatch flexibility benefits; in other
3 words, our ability to ramp up and ramp down the Hines unit
4 at a moment's notice or put it on computerized automatic
5 generation control, so it can follow a load by itself.

6 Fuel diversity; we talked about fuel diversity
7 from a reliability standpoint yesterday, that it's good to
8 have distillate, as well as natural gas supplies on the
9 site. In case something happens to the pricing on either,
10 you've got the reliability aspect from a supply
11 standpoint.

12 You've also got the economic value of having two
13 fuels coming into that facility. What I mean by that is
14 if gas prices shoot through the roof, you can run over a
15 day or two or three, as the case is, on either of those
16 Hines plants. It's a tremendous amount of savings. And
17 you can do that, backfill your tanks, keep your tanks
18 full, keep going; you can do this on a very regular basis
19 and save a tremendous amount of money for the ratepayers
20 from what's called fuels arbitrage. And that's playing
21 the value of gas against the value of oil -- and the
22 converted value of the electricity, I'm sorry.

23 COMMISSIONER JACOBS: Many of those factors, you
24 would expect would have direct cost ramifications; i.e.,
25 you'd expect to see some of those economies show up

1 directly in your cost. And I would expect, then, to see
2 your column of the PWRR column.

3 THE WITNESS: Yes, sir.

4 COMMISSIONER JACOBS: Let me ask the question.
5 How would that impact over the life of this analysis?
6 Wouldn't you expect this column to begin to grow at a
7 slower pace versus the Panda analysis?

8 THE WITNESS: No, sir. These benefits are not
9 included in the PWRR calculations.

10 COMMISSIONER JACOBS: Okay.

11 THE WITNESS: They're not doubly counted. These
12 are -- they're benefits that are attributes associated
13 with the site and the Hines unit itself that are -- from a
14 direct standpoint they're not included as a direct cost
15 for the unit or the direct cost for the fuel to supply
16 that unit.

17 They are downstream values where revenue can
18 actually be captured. Money can actually be saved for the
19 ratepayer, but it's downstream of the cost impact -- the
20 direct cost impact to the plant and the direct cost for
21 the fuel to supply that plant the direct O&M for that
22 plant.

23 BY MR. SASSO:

24 Q Would building the Hines 2 plant have any
25 environmental benefits for the company?

1 A Significantly. By building the Hines 2 plant as
2 opposing to contracting for the plant, we will have the
3 ability to tap into that plant as a potential for a base
4 load unit in case -- once again, this is kind of an
5 arbitrage thing, too, you are able go out into the markets
6 today and buy SO-2 allowances for your coal units.

7 Those prices for those coal units are getting
8 higher as time goes on. And the advent of the Hines unit
9 allows us to run it, either at an intermediate or a base
10 load, in case those sulfur dioxide emission allowances
11 become cost prohibitive. So, it gives us the ability to
12 improve our environmental stance within the fleet.

13 COMMISSIONER JABER: Mr. Crisp, I want to go
14 back to the -- you mentioned there would be savings to the
15 ratepayer, because of the economies of scale locating
16 Hines 2 on the site where Hines 1 is?

17 THE WITNESS: Yes.

18 COMMISSIONER JABER: How do the savings
19 associated with economies of scale actually flow through
20 to the customers? Where would the customers see that
21 benefit?

22 THE WITNESS: Commissioner, they would be
23 reduced expenses, reduced operating expenses. In other
24 words, down through the chain of the overall costs to
25 operate and maintain the unit, those numbers would shrink.

1 So, it would take less money to run the plants from a
2 standpoint of having two units on the site versus -- and
3 even three units on the site, versus one unit on the site.

4 COMMISSIONER JABER: But those expenses, you
5 would try to recover in a rate case. So, absent any rate
6 case, the ratepayer really doesn't feel the benefit,
7 right?

8 THE WITNESS: From a rate recovery standpoint, I
9 would not know the effect of that.

10 COMMISSIONER JABER: Okay.

11 COMMISSIONER JACOBS: That's the point that she
12 got at much more artfully than I did.

13 Did your analyses anticipate Hines 3 and 4
14 coming onboard at all so that you would see some of these
15 economies of scale being reflected, not only in those
16 units coming on, but also in the out years cost to operate
17 Hines 2?

18 THE WITNESS: We do not include those numbers,
19 those downstream numbers, in the 10-year site plan and the
20 IRP evaluations.

21 COMMISSIONER JACOBS: Okay.

22 THE WITNESS: They're incremental benefits, if
23 you will.

24 MR. SASSO: At this time, I have no further
25 questions, but I would like to have the Gulf Power RFP

1 marked as, I believe, it's Exhibit 11. And I would move
2 that into evidence.

3 COMMISSIONER JACOBS: Very well. Show that
4 marked as Exhibit 11.

5 (Exhibit 11 marked for identification.)

6 MR. SASSO: And, I believe, yesterday we already
7 moved in and had admitted Mr. Crisp's composite Exhibit --

8 COMMISSIONER JACOBS: We did.

9 MR. SASSO: -- Number 5, I believe, it was.

10 COMMISSIONER JACOBS: You asked for 11 to be
11 admitted as well?

12 MR. SASSO: Yes.

13 COMMISSIONER JACOBS: Show that Exhibit 11 is
14 admitted.

15 (Exhibit 11 admitted into the record.)

16 COMMISSIONER JACOBS: Nothing else for
17 Mr. Crisp?

18 MR. SASSO: No.

19 COMMISSIONER JACOBS: You're excused.

20 MS. BROWNLESS: Don't we get recross on items
21 that he brought up?

22 MR. SASSO: Mr. Chairman, we would object to any
23 recross. It's within your discretion. Certainly, Panda
24 has no right to recross. Panda had Mr. Crisp on the stand
25 fully for over five hours yesterday, and we've had barely

1 a half hour today. It's really unjustified.

2 COMMISSIONER JACOBS: What's the motivation for
3 your --

4 MS. BROWNLESS: I've got three questions.

5 COMMISSIONER JACOBS: Based on?

6 MS. BROWNLESS: Fuel price, weighting on the
7 front end for the Hines Unit 2 unit and the PWRR analysis,
8 and justification for the \$360 million cost savings if
9 only the Hines Unit 2 was compared to Panda.

10 COMMISSIONER JACOBS: The recross, I think,
11 would be mostly legitimate if there were issues raised on
12 redirect that weren't anticipated. I didn't hear any
13 issues brought up, in fact, that were outside your scope
14 of cross. I'm trying to understand what might be there
15 that was unanticipated or outside the scope of your cross.

16 MS. BROWNLESS: I'd like to just ask those three
17 questions, if I can. I certainly will understand the
18 rule.

19 COMMISSIONER JACOBS: If you would, very
20 briefly.

21 RECROSS EXAMINATION

22 BY MS. BROWNLESS:

23 Q With regard to the fact that any fuel savings
24 Panda would get would not be passed on to Florida Power
25 Corporation, is that a condition that could have been

1 renegotiated by Florida Power Corporation at the end of
2 whatever options Florida Power Corporation exercised with
3 Panda?

4 A Well, I think, the point there is that that
5 should have been brought in, in the proposal. That's what
6 we asked for.

7 Q Okay. Is that yes or no, and then, an
8 explanation.

9 A Please restate the question, then.

10 Q The ability for Power Corp. to benefit from
11 Panda's fuel pricing, whatever contracts for fuel Panda
12 was able to negotiate, is that an item that could have
13 been renegotiated at the end of whatever contract term
14 Power Corp. selected?

15 MR. SASSO: I believe, Mr. Crisp answered that
16 question.

17 MS. BROWNLESS: Well, he didn't, actually. He
18 had an explanation. So, I need him to say yes or no.

19 COMMISSIONER JACOBS: Excuse me. You objected
20 to that question.

21 MR. SASSO: Yes, I objected, because he did
22 answer that very question.

23 COMMISSIONER JACOBS: Could you restate your
24 answer, please, for the record, Mr. Crisp?

25 THE WITNESS: Yes, sir.

1 A We gave Panda every opportunity to restate or
2 provide any adjustment to their proposal that they wanted
3 to in several back and forth discussion sessions.

4 BY MS. BROWNLESS:

5 Q That's not the question. The question is at the
6 end of the contract term that Power Corp. selected, could
7 Power Corp. have renegotiated with Panda the ability to
8 pass on fuel savings?

9 MR. SASSO: Now, I have to object on grounds of
10 relevance. The question concerns what might have happened
11 at the expiration of the contract term in negotiating an
12 entirely new contract. That's completely outside the
13 scope of this proceeding.

14 COMMISSIONER JACOBS: Sustained.

15 BY MS. BROWNLESS:

16 Q The \$360 million that you discussed with
17 Mr. Sasso, has that analysis been provided previously?

18 A The sensitivity analysis, as I indicated that
19 number, I don't know if it has, but I can find that out.

20 Q To the extent that it has not been provided,
21 could we ask for that as a late-filed exhibit, please?

22 MR. SASSO: I don't believe anything in writing
23 exists. This was something we discussed in response to
24 Ms. Hart's cross examination yesterday.

25 COMMISSIONER JACOBS: Is it available in

1 writing?

2 MR. SASSO: I don't think there's anything in
3 writing. This was just an approximation.

4 COMMISSIONER JACOBS: Is it a request for
5 late-filed?

6 MS. BROWNLESS: Yes, please.

7 COMMISSIONER JACOBS: If it's available, let's
8 do it as a late-filed and respond accordingly, if it's not
9 available.

10 MS. BROWNLESS: And do we need a title for it,
11 sir?

12 COMMISSIONER JACOBS: Yes.

13 MS. BROWNLESS: That would just be the analysis
14 that supports the \$360 million figure that you discussed
15 in your testimony, Mr. Crisp.

16 THE WITNESS: Yes.

17 BY MS. BROWNLESS:

18 Q With regard to the savings associated with
19 constructing Hines Unit 2 on Hines Unit 1 site, were
20 proposals taken by Florida Power Corporation prior to the
21 selection of the Hines Unit 1 site?

22 MR. SASSO: Objection on relevance grounds. I
23 can't imagine what selection of the Hines 1 plant has
24 anything to do with this.

25 MS. BROWNLESS: Well, it's quite relevant. One

1 of the basis for the reason that this is a more
2 cost-effective alternative to Florida Power Corporation is
3 the economies of scale that Commissioner Jaber discussed
4 with Mr. Crisp, because Hines Unit 2 is located on the
5 Hines Unit 1 site.

6 And, so, my question is we know that the Hines
7 Unit 2 site has been subject to an RFP, subject to
8 competitive influences. Was the selection of the Hines
9 Unit 1 site also subject to those influences.

10 MR. SASSO: Same objection, Mr. Chairman.

11 COMMISSIONER JACOBS: I would sustain that. If
12 you want to ask whether or not there were any continuing
13 benefits of that, that's fine, in this docket, but going
14 back to Hines 1, I would sustain that.

15 MS. BROWNLESS: Thank you very much. I'm done.

16 MR. SASSO: We would call our next witness at
17 this time.

18 COMMISSIONER JACOBS: That's it? Okay, you're
19 excused.

20 THE WITNESS: Thank you.

21 (Witness excused.)

22 MR. SASSO: Alan Taylor.

23 COMMISSIONER JACOBS: Ms. Brownless?

24 MS. BROWNLESS: Yes, sir.

25 COMMISSIONER JACOBS: We need to -- we'll

1 identify this item as Exhibit 12. I wasn't quite clear on
2 the description of that late-filed.

3 MS. BROWNLESS: This would be the PWRR analysis
4 supporting the comparison of Hines Unit 2 to the Panda bid
5 alone, you know, on a stand-alone basis, one that doesn't
6 take into account the entire FPC system.

7 COMMISSIONER JACOBS: Very well.

8 (Late-filed Exhibit 12 identified for the
9 record.)

10 MR. SASSO: We're going to be passing out some
11 confidential exhibits on this.

12 COMMISSIONER JACOBS: Very well.

13 MR. SASSO: The envelope contains just
14 Mr. Taylor's confidential prefiled testimony.

15 COMMISSIONER JACOBS: So, we don't need to
16 identify it, then.

17 MR. SASSO: Right.

18 ALAN S. TAYLOR

19 was called as a witness on behalf of Florida Power
20 Corporation and, having been duly sworn, testified as
21 follows:

22 DIRECT EXAMINATION

23 BY MR. SASSO:

24 Q Could you state your name, position, and
25 business address, please.

1 A My name is Alan Taylor. I'm the vice president
2 with the global business sector of PHB Hagler Bailly, an
3 international consulting company. My business address is
4 1881 Ninth Street, Suite 302, Boulder, Colorado 80302.

5 Q Mr. Taylor, did you prepare and file direct
6 prefiled public testimony and confidential testimony in
7 this proceeding?

8 A Yes, I did.

9 Q And did you also attach to your public testimony
10 your CV as Exhibit 1?

11 A Yes, I did.

12 Q If I were to ask you the questions contained in
13 your prefiled testimony today, would you provide the same
14 answers?

15 A Yes, I would.

16 Q Do you wish to make any changes or corrections
17 to your prefiled testimony?

18 A No, I do not.

19 Q Do you adopt your prefiled testimony as your
20 sworn testimony in this proceeding?

21 A Yes, I do.

22 MR. SASSO: Mr. Chairman, we request that
23 Mr. Taylor's testimony be entered into the record as
24 though read.

25

1 COMMISSIONER JACOBS: Very well. Without
2 objection, show Mr. Taylor's testimony into the record as
3 though read.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

INTRODUCTION AND QUALIFICATIONS

1

2

3 Q. Please state your name and business address.

4 A. My name is Alan S. Taylor. My business address is PHB Hagler Bailly, Inc. (PHB
5 Hagler Bailly), 1881 Ninth Street, Suite 302, Boulder, Colorado 80302. PHB Hagler
6 Bailly has recently signed a definitive agreement to merge with PA Consulting,
7 another global consulting company. The resulting company will be called PA
8 Consulting.

9

10 Q. On whose behalf are you testifying?

11 A. I am testifying on behalf of Florida Power Corporation (FPC).

12

13 Q. Who is your employer and what position do you hold?

14 A. I am employed by PHB Hagler Bailly as a vice president in our Global Energy
15 Business Sector.

16

17 Q. Are you sponsoring any exhibits?

18 A. Yes. My resume is included as Exhibit AST-1.

19

20 Q. Please summarize your background and experience.

21 A. I received a Bachelor of Science Degree in Energy Engineering from the
22 Massachusetts Institute of Technology. I received a Masters in Business

1 Administration from the Haas School of Business at the University of California,
2 Berkeley, where I specialized in Finance and graduated Valedictorian.

3

4 I began my career at Baltimore Gas & Electric Company, where I performed
5 efficiency and environmental compliance testing on the utility system's power
6 plants. I subsequently worked for five years as a senior consultant at Energy
7 Management Associates (EMA, now New Energy Associates), training and assisting
8 over two dozen utilities in their use of EMA's operational and strategic planning
9 models, PROMOD III and PROSCREEN II. After that, I worked at Pacific Gas &
10 Electric Company, where I analyzed the utility's proposed demand-side
11 management incentive ratemaking mechanism.

12

13 Since joining PHB Hagler Bailly, I have spent the last eight years specializing in
14 integrated resource planning, competitive bidding analysis, utility industry
15 restructuring, market price forecasting, and asset valuation. I have testified before
16 state commissions in proceedings involving resource solicitations, environmental
17 surcharges, and fuel adjustment clauses.

18

19 My detailed resume is included as Exhibit AST-1.

20

21 **Q. Please comment on any specific experience relating to review of utility power**
22 **solicitations and evaluation of proposals.**

1 A. I have helped develop utility resource requests for proposals (RFPs) in several
2 solicitations over the last six years. In performing these projects, I reviewed dozens
3 of other utility RFPs to understand the industry's standards and best practices in
4 resource acquisition. I have evaluated proposals in numerous solicitations for
5 projects in California, Texas, Florida, Colorado, Minnesota, and Iowa. In several of
6 these solicitations, I assisted in or monitored negotiations with shortlisted bidders.

7

8 **PURPOSE, SUMMARY, AND BACKGROUND OF TESTIMONY**

9

10 **Q. What is the purpose of your direct testimony in this proceeding?**

11 A. FPC proposes to construct a new combined-cycle natural gas power plant (Hines 2)
12 at the Hines Energy Complex in Polk County, adjacent to its existing Hines 1 unit.
13 FPC arrived at this decision after a rigorous process in which FPC issued an RFP
14 and evaluated in considerable detail the economic and other impacts of the proposed
15 alternatives. PHB Hagler Bailly was retained at the start by FPC to provide outside
16 guidance in developing the RFP and overseeing the evaluation of proposals and to
17 provide an independent review of the process for its thoroughness, fairness and
18 openness.

19

20 This testimony presents details of the process by which I (and others at PHB Hagler
21 Bailly under my direct supervision) reviewed FPC's solicitation and evaluation
22 process and FPC's decision to proceed with the development of Hines 2. The

1 testimony also provides the basis for my support of FPC's efforts and ultimate
2 conclusions.

3

4 **Q. Please briefly summarize your testimony.**

5 A. My review concludes that FPC conducted a solicitation process that encouraged
6 prospective bidders to offer proposals and that offered adequate opportunity to
7 compete against the Hines 2 self-build option on both economic and non-price
8 terms. FPC's proposal evaluation process was thorough and utilized appropriate
9 modeling and analytical methods. The decision to formally pursue the Hines 2
10 option is firmly grounded in the economic evaluation of the alternatives as well as
11 their non-price attributes.

12

13 **Q. Please describe any materials you reviewed in preparation for this testimony.**

14 A. I reviewed and helped develop the RFP document. I reviewed the two proposals
15 submitted to FPC. I and/or my staff also carefully reviewed the output from FPC's
16 modeling runs as well as the proforma spreadsheets that utilized the modeling results
17 and other FPC system cost information to derive annual cost projections for each
18 alternative. In addition, I reviewed FPC's findings regarding benefits and
19 disadvantages of non-price factors for each proposed resource. For the purpose of
20 gaining additional background on FPC's planning process, I also reviewed the most
21 recent Ten-Year Site Plan, published in April 2000. For the purpose of
22 understanding Florida's resource selection process requirements, I reviewed the
23 Commission's need determination and bidding rules (25-22.081 and 25-22.082) and

1 the August 18, 1998 transcript of the Commission proceedings concerning a petition
2 by Gulf Power Company for waiver of portions of those rules.

3

4 **Q. Please describe any other steps taken to prepare for this testimony and/or**
5 **FPC's solicitation.**

6 A. Prior to bid opening, the PHB Hagler Bailly project team developed a "response
7 surface" model that mimicked FPC's modeling analysis, thereby allowing for a
8 comparison of the results and verification of the major cost trends found by FPC. A
9 response surface model is a spreadsheet model that approximates the results that are
10 likely to be yielded by a more detailed model. Our response surface model was
11 developed from numerous runs of New Energy Associates'
12 PROSCREEN/PROVIEW model, a utility system simulation model used by FPC in
13 its planning processes. PROVIEW is an optimization module within the
14 PROSCREEN tool set and is commonly used in the industry for generation planning
15 and resource acquisition analysis. The response surface model allowed PHB Hagler
16 Bailly to perform a separate, simplified, parallel analysis and to corroborate the pre-
17 and post-bid-opening modeling results.

18

19 As a further check of FPC's analysis, we reviewed FPC's modeling results to verify
20 that the bidders' proposals had been modeled appropriately and we confirmed the
21 validity of the methodology used to compare bids against one another and against
22 the Hines 2 alternative.

23

REVIEW OF RFP AND SOLICITATION PROCESS

1

2

3 **Q. Please describe the regulatory and planning objectives of the RFP process.**

4 A. The RFP process is intended to ensure that FPC pursue the resource options that
5 serve the best interests of its ratepayers. By soliciting proposals from bidders, FPC
6 creates a market test against which it must compete and win in order to proceed with
7 its planned resource development. The utility's long-term planning process is
8 enhanced by making available supply-side alternatives that may offer lower costs,
9 resource diversification, or other benefits that FPC cannot achieve on its own.

10

11 **Q. Please describe the RFP document itself.**

12 A. The RFP consists of 33 pages including data tables, forms, and other attachments.
13 The first page clearly states FPC's purpose to solicit competitive proposals for
14 supply-side alternatives to its next planned generating unit, identified as a natural
15 gas-fired combined-cycle unit of approximately 530 MW to be located at the
16 existing Hines Energy Complex in Polk County, Florida. A more detailed
17 description of this planned unit was provided in Attachment D.

18

19 Among its salient requirements, the RFP states that capacity must be available no
20 later than November 30, 2003 and be dedicated solely to FPC's use. The RFP
21 describes other specifications for proposal submissions and provides a tentative
22 timeline for bidder requirements, meetings, due dates, and the solicitation review
23 process. The RFP also describes the proposal evaluation process.

1

2

Attachments to the RFP include (A) Notice of Intent to Bid Form, (B) Proposal

3

Summary Form, (C) Instructions for proposal format, including blank data tables,

4

(D) Data for the Planned Unit at the Hines Energy Complex, and (E) FPC

5

Generation Interconnection Study Data Request Form.

6

7

Q. Did the RFP meet the regulatory and planning objectives described above, and

8

did it fulfill the objectives of the Florida Public Service Commission policies?

9

A. Yes, I believe that the RFP met these objectives. It served to attract competitive bids

10

that offered FPC options with respect to bottom-line cost, pricing structure, capacity,

11

contract duration, resource type, and other factors. I believe that the RFP fulfilled

12

the objectives of the Florida Public Service Commission (FPSC) policies. It clearly

13

included information on FPC's planned resource addition so that bidders knew the

14

approximate economics of the resource against which they would have to compete.

15

16

Q. Was the RFP document suitable for encouraging competitive bids and

17

facilitating submission of the bids in a complete and timely manner?

18

A. Yes. The RFP was well crafted and was suitable for encouraging and facilitating

19

submission of competitive bids. The RFP was clear in its purpose and specific in its

20

requirements. In addition, it provided prospective bidders with key financial and

21

operating data for FPC's next planned unit.

22

1 Q. **Was the solicitation process itself conducted in a manner that encouraged and**
2 **facilitated submission of competitive proposals?**

3 A. Yes. The RFP was issued to approximately 50 potential bidders and was posted on
4 FPC's web site on January 26, 2000. In addition, FPC issued a press release and
5 there were stories on the solicitation in major industry trade publications such as
6 Financial Times Energy's Megawatt Daily (on January 26, 2000) and McGraw-Hill
7 Company's Global Power Report (on February 4, 2000). Prospective bidders were
8 asked — but not required — to submit a Notice of Intent to Bid by February 10,
9 using the form provided in Attachment A of the RFP; thirteen respondents submitted
10 Notices. Bidders were also encouraged to attend the optional pre-bid meeting held
11 February 18 in Tampa. At the meeting, which was attended by several FPC staff, a
12 member of the PSC, and 12 prospective bidders, FPC staff reviewed the purpose and
13 requirements of the RFP and answered questions.

14
15 Q. **Please describe the proposals that were ultimately submitted in response to the**
16 **RFP.**

17 A. The details of the proposals that were submitted are described in my confidential
18 supplemental testimony that is being filed under seal in this proceeding.

19
20 Q. **What steps were taken subsequent to receipt of the proposals to ensure fair**
21 **consideration of the bids?**

22 A. Once FPC had reviewed the bids, FPC contacted each bidder with written requests
23 for clarifications. Also, FPC staff held one-on-one meetings with the bidders in

1 order to fully understand the proposals and to offer the bidders opportunities to
2 clarify and/or revise the proposals and certain important particulars to better address
3 FPC's needs and the requirements of the RFP.

4 5 **PROPOSAL EVALUATION PROCESS**

6
7 **Q. Please describe the methodology by which FPC evaluated the submitted**
8 **proposals.**

9 A. FPC conducted a resource optimization analysis using PROVIEW. This analysis
10 allowed FPC to determine the system costs for various resources or combination of
11 resources over the study period, which extended from 2003 through 2028. Through
12 this optimization process, FPC was able to determine the long-range plan for
13 additional generic resources that would yield the lowest system costs for each
14 proposed resource (and each variant of the proposed resources) offered in the current
15 solicitation.

16
17 The proposed Hines 2 unit was revealed to be the least cost alternative from the
18 PROVIEW analysis. However, instead of ending its analysis, FPC utilized the
19 PROVIEW results only to narrow the field of contending proposals or variants of
20 proposals. In order to provide added validity to the analysis, a more detailed utility-
21 system simulation model, known as PROSYM, was then utilized to evaluate the
22 remaining proposal variants. The PROSYM runs determined total system costs
23 under four unique scenarios.

1

2 In all four scenarios, each proposal or proposal variant was evaluated in the best
3 light in that the optimal long-term generation expansion plan that was developed in
4 the PROVIEW evaluation of that proposal was incorporated into the PROSYM run.

5

6 **Q. Please describe the PROSYM modeling process and how it was used to evaluate**
7 **the proposals.**

8 A. Unlike PROVIEW (which uses approximation techniques to simulate monthly
9 utility dispatch results), PROSYM is an hourly production cost model. PROSYM
10 utilizes detailed data on operating characteristics and costs for all power plants in a
11 utility system. Subject to unit operating constraints, it dispatches these units on an
12 hour-by-hour basis, beginning with those resources having the lowest variable costs,
13 until the system demand is met for that hour. Through this simulation, PROSYM is
14 able to determine at what capacity a unit is utilized, for what period of time, and at
15 what cost (i.e., how it would likely be dispatched along with other system
16 resources).

17

18 In FPC's analysis, separate model runs were conducted for the years 2000 through
19 2010 utilizing each of the four resource options carried into the PROSYM phase.
20 The output of these runs were four 11-year series of unique system-cost figures,
21 which correspond to the mutually exclusive deployment of the four resource options
22 and which represent FPC's annual variable costs of generating the required amount
23 of electricity.

1 These results were then incorporated into a proforma spreadsheet analysis that
2 determined the anticipated total costs for each resource scenario for each year
3 through 2028.

4
5 **Q. Please describe the proforma analysis and how it was utilized.**

6 A. The variable system costs generated by PROSYM are only a part of the total cost
7 picture. In FPC's proforma analysis, the utility incorporated the PROSYM variable
8 costs into a framework for evaluating the total revenue requirements of each
9 scenario. In the proforma spreadsheets, FPC took the annual system cost data for
10 each resource scenario and added to it the following items:

- 11 (1) Power purchase agreement capacity payments made by FPC to the bidder;
- 12 (2) Non-fuel revenue requirements, including capital expenditures, fixed
13 operating costs, maintenance expenditures, etc. for the Hines 2 unit (applies
14 to the Hines 2 scenario only); plus additional non-fuel revenue requirements
15 for future resources needed to maintain adequate supply for the system
16 (applies to all scenarios);
- 17 (3) Added revenue requirements attributable to the increase in FPC's future cost
18 of capital that results from the imputed debt FPC assumes by entering into a
19 long-term purchase power agreement;
- 20 (4) Capacity credit for the market value of any capacity in excess of FPC's 20%
21 reserve margin criterion.

1 For each resource scenario, these costs and credits were added to the variable system
2 costs from PROSYM to yield total annual revenue requirements for each year
3 through 2028. For purposes of comparison, the present value of these streams of
4 revenue requirements was calculated using a discount rate of 8.62%, equal to FPC's
5 after-tax weighted average costs of capital.

6
7 **Q. Were there any other significant factors that entered into the analysis?**

8 A. Yes. In order to test for the impact of plausible changes in the price and availability
9 of natural gas, FPC conducted three sensitivity analyses on each of the four resource
10 scenarios previously described. These sensitivities included a high-fuel case, a low-
11 fuel case, and a case referred to as "Gulfstream" that represented a scenario in which
12 the proposed Gulfstream gas pipeline is developed.

13
14 **Q. What were the results of the modeling and proforma analysis?**

15 A. The analysis showed that under the base case Hines 2 was the lowest-cost alternative
16 from 2003, the first year the units would come on line, continuously through to the
17 end of the planning period in 2028. Relative to Hines 2, the other proposals were
18 more expensive by at least \$66 million in present value terms over the study period.

19
20 Results from the sensitivity analyses were similar, with Hines 2 clearly the least-cost
21 option. The difference in the present value of total costs between the other proposals
22 and Hines 2 was at least \$69 million in present value terms.

23

1 Q. **Was the modeling and proforma analysis conducted appropriately and in a**
2 **manner that legitimately determined the least-cost resource option?**

3 A. Yes, it was. The methodology employed by FPC to quantify the financial impact of
4 the various resource alternatives captured and correctly modeled the essential factors
5 needed to determine the system-wide cost under each scenario. Further, PHB Hagler
6 Bailly has verified that FPC accurately incorporated into its models the key cost and
7 operating characteristics from the proposals and that the characteristics for Hines 2
8 were both reasonable and consistent with what was contained in Appendix D of the
9 RFP. PHB Hagler Bailly also verified that the proforma accurately and appropriately
10 utilized cost information from the PROSYM model output.

11

12 Q. **Were non-price factors considered in FPC's evaluation of the resource**
13 **alternatives?**

14 A. Yes. In addition to the economic analysis, FPC also conducted a parallel evaluation
15 of non-price attributes of the proposals, including air quality, system resource
16 diversification, start date and duration, and regulatory issues. The findings from this
17 analysis illuminated various benefits and disadvantages of both bidders' proposals
18 relative to Hines 2. These non-price attributes were viewed in conjunction with the
19 quantitative assessment in making a final determination of the preferred resource
20 option. I believe that the weight of these non-price factors further tilted the balance
21 against the proposals, and thus supported development of Hines 2.

22

DECISION/CONCLUSIONS

1

2

3 **Q. What decision did FPC make as a result of this analysis?**

4 A. FPC has decided to proceed with its plan to construct the Hines 2 unit.

5

6 **Q. In your view, is this decision supported by the modeling and proforma
7 analysis?**

8 A. Yes, it is.

9

10 **Q. In your view, do FPC's efforts in the solicitation and subsequent modeling and
11 analysis form an adequate basis upon which to make a decision on the next
12 supply-side resource for the FPC system?**

13 A. Yes, they do. FPC made all reasonable efforts to work with the bidders to modify,
14 where necessary, the proposals to better meet FPC's needs. In order to give bidders
15 every benefit, several proposal variations for each bidder were then included in the
16 initial screening, and at least one variation for each bidder was carried into the final
17 detailed analysis. Further, the sensitivity cases that were evaluated appropriately
18 capture the range of gas prices and supply contingencies that FPC could reasonably
19 expect to experience.

20

21 FPC's method of comparing the proposals is sound and appropriately captures the
22 present value of the future cost streams resulting from adoption of the competing
23 proposals.

1

2 **Q. What do you see as some of the benefits of the Hines 2 project?**

3 A. By proceeding with development of Hines 2, FPC will be able to take advantage of
4 an option to purchase the needed turbines at a price negotiated several years ago that
5 is significantly less than what it would cost FPC in today's market. In part, as a
6 result of this option, the costs associated with Hines 2 are less than those that other
7 bidders are able to offer.

8

9 Hines 2 would also be located at an existing power production site — on the same
10 site as the currently operating Hines 1 unit. Therefore, no rezoning or conversion of
11 open space would be needed and the impact of construction and traffic would be
12 relatively minor. Additionally, as opposed to one of the proposals, Hines 2 would be
13 available in time for the 2003/2004 winter peak period, which is when FPC currently
14 forecasts the need for additional capacity. Also, since much of FPC's existing
15 resources are coal or coal-based purchase power contracts, the natural gas-fired
16 Hines 2 unit would represent a diversification of the system-wide resource mix.

17

18 **Q. What are your overall conclusions regarding FPC's solicitation process and**
19 **evaluation of proposals?**

20 A. I believe that FPC conducted a fair solicitation that was clear in its objectives and
21 that encouraged proposals from prospective bidders. FPC also conducted a valid
22 analysis of the submitted bids at an appropriate level of detail, both quantitatively
23 and qualitatively. I concur with FPC's conclusion that development of Hines 2

1 would yield the lowest cost among the available alternatives and that it would best
2 serve the interests of FPC's ratepayers and the public.

3

4 **Q. Does this complete your direct testimony?**

5 **A. Yes, it does.**

1 MR. SASSO: And I would also ask that
2 Mr. Taylor's CV, which is attached as an exhibit to his
3 prefiled public testimony, be marked as Exhibit 13.

4 COMMISSIONER JACOBS: Very well. Show it
5 marked.

6 (Exhibit 13 marked for identification.)

7 BY MR. SASSO:

8 Q Have you prepared a summary of your testimony?

9 A Yes, I have.

10 Q Would you provide it to the Commissioners,
11 please?

12 A Certainly.

13 I'd like to cover a little bit of my background
14 resource solicitation because, I think, one of the
15 benefits that I'm bringing to this proceeding is knowledge
16 of similar solicitations that have been happening around
17 the country, and I'd like to turn, basically, to the task
18 at hand and the role that I, myself, and Hagler Bailly, in
19 general, played in this process.

20 I've been involved with integrated resource
21 planning activities as a consultant since 1983. I spent
22 the last nine years with Hagler Bailly specializing,
23 principally, in resource acquisition, competitive bidding
24 solicitations, and market analysis.

25 I've conducted or assisted and/or monitored

1 numerous solicitations across the country from California
2 to Florida here, not just this solicitation, but others
3 and from Texas to Minnesota. So, I think, I've got a
4 breadth of experience, as far as understanding what
5 generally goes into these solicitations and the RFPs and
6 how the evaluations are generally performed.

7 As far as my role in this proceeding, PHB was
8 retained to provide guidance in the development of the
9 RFP, to oversee the evaluation, and to perform an
10 independent review of the responses to the RFP.

11 We were tasked to ensure that the process was
12 thorough and fair and valid. And, certainly, I have
13 concluded that the overall process was fair, and all the
14 analytic methods and the analytic tools that were employed
15 in the process were appropriate and that the evaluation
16 was done thoroughly. I also concur with FPC's decision to
17 move ahead with the selection of Hines 2. I do agree that
18 that's the superior proposal out of this process.

19 Turning to some of the details, as far as the
20 RFP itself, I think, that the RFP was well-crafted. It
21 struck an appropriate balance in the industry. Sometimes
22 I've seen RFPs that are as short as two pages, and other
23 times I've seen RFPs that are as thick as a few inches.

24 I think, that the amount of specificity in the
25 RFP was appropriate and that it gave bidders plenty of

1 details without burdening them too much because, frankly,
2 I think that in some solicitations with these very large
3 RFPs, that can serve as an indication that this is going
4 to be a tough hurdle to get over.

5 So, I think, that the RFP established that
6 appropriate balance. I think, it was consistent with
7 what's also been followed here in the state of Florida and
8 other solicitations. The RFP, I think, encouraged
9 participation. It was disseminated, as was testified
10 yesterday, to over 50 parties, as well as being advertised
11 in the trade press.

12 There was a pre-bid conference that offered
13 parties an opportunity to ask any questions or details
14 about the RFP or the evaluation process. And then,
15 ultimately, once the proposals were received, Hagler
16 Bailly also participated in the bid opening process and
17 participated in the one-on-one meetings with the
18 respondents to the RFP.

19 I think, that the analysis that was performed on
20 the two proposals that were received was very thorough and
21 appropriate. And the conclusion that the next best
22 alternative to Hines 2 was at least \$66 million more was a
23 correct conclusion.

24 We also examined the sensitivities and concur
25 with the conclusions there, that even under various

1 scenarios, Hines 2 is still the superior proposal. I
2 think that that's founded in a lot of details that have
3 already come out in the case, as far as the advantageous
4 turbine contract, the fact that the facility is being
5 built on an existing plant site which, as Mr. Crisp
6 testified, has various economies associated with it, the
7 fact that the resource is going to be available in 2003
8 during a critical need and the fuel diversity that lends
9 to the Florida Power system.

10 So just to wrap, quickly, with the summarization
11 here, I think, that the solicitation was fair and that the
12 RFP was clear and encouraged participation. I think, that
13 the analysis was valid, and I concur that Hines 2 is the
14 cost-effective resource that should be pursued.

15 MR. SASSO: Mr. Chairman, we tender Mr. Taylor
16 for cross examination.

17 COMMISSIONER JACOBS: Ms. Brownless.

18 MS. BROWNLESS: Thank you.

19 CROSS EXAMINATION

20 BY MS. BROWNLESS:

21 Q Good morning, Mr. Taylor.

22 A Good morning, Ms. Brownless.

23 Q I'd like to turn to Page 7 of your
24 nonconfidential testimony, please.

25 MS. BROWNLESS: Gary, the confidential testimony

1 has the same pagination as the nonconfidential, doesn't
2 it?

3 MR. SASSO: You mean, it starts with one and
4 two, three, four?

5 MS. BROWNLESS: No, no. I mean, that they
6 correlate, because you just redacted -- you just crossed
7 out words.

8 MR. SASSO: You're talking about redacted
9 versus --

10 MS. BROWNLESS: Well, here's all I'm trying to
11 get at. If the Commissioners look at their copy of
12 Mr. Taylor's confidential testimony, could they refer to
13 Page 7, just as they could refer to Page 7 in the
14 nonconfidential?

15 MR. SASSO: I expect so.

16 THE WITNESS: I don't see a Page 7 in my
17 confidential testimony. There's a public version, and
18 then there's an entirely separate confidential version.

19 MS. BROWNLESS: Okay. So, the pages don't
20 match. That's all I'm getting at.

21 THE WITNESS: Okay.

22 MS. BROWNLESS: That's fine. We'll just stick
23 with the nonconfidential.

24 BY MS. BROWNLESS:

25 Q With regard to the number of bidders who

1 actually attended the pre-bid conference, I believe, you
2 testified that --

3 COMMISSIONER JABER: Excuse me. I'm sorry. I
4 just need to make sure I understand the testimony. The
5 confidential testimony is titled, "Supplemental
6 Testimony." So, help me understand the difference so I
7 can follow.

8 MR. SASSO: Yes. We're confused over here, too,
9 by what Ms. Brownless has asked. It's a stand-alone set
10 of testimony. It's not the same material as in the public
11 testimony.

12 MS. BROWNLESS: Sorry.

13 MR. SASSO: It has different content, and it's
14 paginated from one, two, three, and so on.

15 MS. BROWNLESS: I'm sorry, I didn't -- thank you
16 -- get that. Thank you.

17 BY MS. BROWNLESS:

18 Q With regard to the number of bidders who
19 attended the pre-bid conference, I believe, you testified
20 that was 12 bidders -- I mean, folks?

21 A That's correct.

22 Q And that was 12 people who actually attended the
23 pre-bid conference out of approximately, do you know for
24 sure 50 people Power Corp. invited?

25 A Yes.

1 Q I assume that because they advertised in trade
2 journals, it's safe to say more than 50 people were aware
3 of the bid?

4 A Yes.

5 Q From your knowledge of the industry, about how
6 many entities would have been potential bidders?

7 A It's hard to say. It's a very dynamic
8 marketplace, and people have a lot of irons in various
9 fires. There's a great deal of activity around the
10 country. So, in any one solicitation, it's difficult to
11 predict.

12 Q Okay. Well, let me ask the question this way.
13 Are you familiar with McGraw Hill, an independent power
14 producer directory?

15 A Yes, I am.

16 Q Okay. How many folks are listed in that
17 directory?

18 A Um --

19 Q Approximately.

20 A I don't know a number off the top of my head,
21 quite a few.

22 Q Okay. More than 100?

23 A I would guess, yes, subject to check.

24 Q Okay. Of the 12 folks who came to the pre-bid
25 conference, only two submitted a bid?

1 A Yes.

2 Q Was the pre-bid conference a mandatory
3 conference?

4 A No, it was not.

5 Q So, you didn't have to go to the conference in
6 order to subsequently bid?

7 A That's correct.

8 Q Obviously, two folks out of 50 folks, the known
9 pool of bidders, is a 4% return; is that right?

10 A If you use that as the denominator, yes.

11 Q Okay. And two out of 12 is a 16% response rate?

12 A Yes.

13 Q Two out of a potential pool of 100 is,
14 obviously, a lot less than that.

15 A I think, your arithmetic is correct, yes.

16 Q Do you consider this to be a low number of
17 responses for this type of RFP, based on your experience?

18 A Based on my experience, I'd say it was a little
19 bit on the low side, although I've seen a number of
20 solicitations similar to this where there had only been
21 two or three main bidders to compete with the resource.

22 Q Okay. I'm going to turn to Page 8 of your
23 nonconfidential testimony. And on Line 9, you indicate --
24 reiterate that FPC conducted an optimization analysis
25 using PROVIEW; is that correct?

1 A That is correct.

2 Q Is PROVIEW a proprietary program?

3 A Yes, it is.

4 Q By proprietary, I mean, that one has to pay to
5 have access to it?

6 A Yes, it's a model of New Energy Associates in
7 Atlanta.

8 Q We used to call that EMA, didn't we?

9 A Yes, where I worked for five years.

10 Q Ya'll should keep the same name all the time.
11 That would be easier for us to track along with.

12 A I'll simply add that I'm very familiar with the
13 program.

14 Q Sure.

15 Are you currently licensed for the PROVIEW
16 computer model?

17 A PHB Hagler Bailly is not. When we help clients
18 with various solicitations, we are usually simply using or
19 reviewing their program runs from their license agreement.

20 Q Okay. Because you do not have access to this
21 computer model, you could not replicate the PROVIEW runs
22 that Power Corp. conducted, correct?

23 A Correct. And that was the main genesis for
24 determining and developing the response surface model
25 prior to opening of the bids.

1 Q To the extent -- well, let me ask this question:
2 Is every computer model dependent upon the input data that
3 is placed in it?

4 A Yes.

5 Q So, to the extent that that data is incorrect or
6 erroneously entered, can results be erroneous?

7 A Yes, that's true.

8 COMMISSIONER JABER: Would you know if any of
9 the data was erroneously entered in your review of the
10 runs?

11 THE WITNESS: We would know, certainly, if
12 anything had been changed after the opening of the bids,
13 because we did develop this parallel evaluation process,
14 this response surface model, just to corroborate that
15 whatever results were coming out of the evaluation were
16 consistent with what sort of information was in the
17 system.

18 We checked to make sure that all the numbers
19 were reasonable, but I cannot testify to the voracity of
20 load forecasts or other things that were really the domain
21 or jurisdiction of various entities and departments at
22 Florida Power Corp.

23 BY MS. BROWNLESS:

24 Q The PROSCREEN, PROSYM model, do you have access
25 to that?

1 A We do have a license for PROSYM in our Boulder
2 shop, yes.

3 Q Okay. Did you perform PROSYM sensitivity
4 modeling that replicated that performed by Florida Power
5 Corporation?

6 A I should add that although we have it in our
7 offices, use of that is limited to various projects. And
8 to the extent that we use it on another project, we do
9 need to pay the vendor of that, Henwood Associates, a
10 licensed fee.

11 So, this is not something where we would have
12 embarked on that task without incurring these additional
13 costs to pass on to Florida Power. And we did not believe
14 it was necessary to actually do runs in our office to
15 verify the voracity of the PROSYM runs.

16 Q So, you did not conduct PROSYM runs that,
17 essentially, attempted to replicate what Power Corp. had
18 done?

19 A That is true, we did not.

20 Q The PROSYM runs were done for a period of 10
21 years; is that correct?

22 A Yes.

23 Q Why was that limited to 10 years and not spread
24 out over the entire 25 years?

25 A PROSYM is a very detailed production cost model.

1 It takes, potentially, hours to execute just individual
2 years of runs, depending on the size of the system one is
3 trying to model. So, it becomes very time consuming to
4 generate results out through an entire 25-year time frame.

5 I also believe, subject to check, that Florida
6 Power Corp. has its 10-year site plan information loaded
7 into the PROVIEW system. And to extend the databases
8 beyond that time frame, 2010, is a nontrivial matter.

9 It's rather data intensive. And I believe that
10 the information simply was not in hand to run, physically,
11 the model out through that time frame. However, the
12 results, the production cost results, were extended from
13 2010 in the revenue requirement process using the
14 escalation features that were seen in the 25-year runs
15 developed in PROSCREEN.

16 Q Okay. So, if I understand what you've just told
17 me, they took the results at the end of 10 years, and then
18 applied escalation factors to fill in the back 15.

19 A That's correct.

20 Q So, the years, the PROSYM runs from the 11th
21 year through the 25th year are approximations of what the
22 model would have produced?

23 A That's correct.

24 Q I'm curious, in all the exhibits produced by
25 Power Corp., why they start in the year 2000 and don't

1 start in the year 2003, do you know, the PWRR analysis
2 that we discussed yesterday?

3 A They very well could have started in 2003, since
4 that's the time frame where different potential resources
5 can be adopted. I think, that a benefit of starting an
6 earlier year, the current year, is it allows people to
7 kind of get their basis on what sort of information is
8 being provided and does allow one to then corroborate that
9 the numbers are the same between the cases for the first
10 year or so.

11 Q The fact that this analysis, these PWRR analysis
12 that have been provided and have been marked as Exhibit
13 Number 7, and we've been talking about them as
14 Interrogatory Number 19 and Interrogatory Number 20, the
15 data here indicates -- is exactly the same in both the
16 Panda case and the Hines Unit 2 case for each year prior
17 to 2003, and you would expect that based upon your
18 explanation, correct?

19 A Correct.

20 Q The PWRR analysis performed by Power Corp.,
21 inherent in that analysis is a particular type of cost
22 recovery for each unit, correct?

23 A As far as cost recovery, there is, yes, a
24 predication as far as the cost passed through.

25 Q In other words, that, in fact, it would be the

1 Hines Unit 2 plant would be able to be traditionally
2 rate-based recovered over that entire period of time?

3 A That's correct.

4 Q And with regard to the Panda proposal, it would
5 assume that the costs associated with the Panda project
6 would be recovered from ratepayers, in this instance,
7 through our capacity, what do we call it now, we call it
8 capacity factor. We used to call it cogeneration
9 capacity factor. We don't call it that anymore; the
10 capacity factor, section of the fuel adjustment charge as
11 well as the fuel O&M factors?

12 A I'm not familiar with the ratemaking and rate
13 recovery issues of Florida Power. I've been led to
14 believe, from various discussions, that yes, these costs,
15 purchase power costs, would be passed through.

16 Q And they would be completely passed through,
17 through whatever mechanism.

18 A That's correct, the ratepayers would pay for
19 them in the year that they were incurred.

20 Q I'm looking now at Page 10 of your testimony.
21 And on Line 17, you indicate here -- it's indicated here
22 that imputed debt was added to these scenarios for each
23 bidder's project; is that correct?

24 A Each bidder's what?

25 Q Project, each bidder's bid for Bidder A and

1 Bidder B?

2 A Yes, they were.

3 Q So, there would be some component of that
4 analysis that would be related to imputed debt.

5 A Right.

6 Q Now, you say on Line 20 that a capacity credit
7 for market value of any capacity in excess of FPC's 20%
8 reserve margin criterion was credited to each bidder; is
9 that correct?

10 A That's correct.

11 Q Okay. Was it also credited to the base unit?

12 A To the base unit?

13 Q Okay. Here's what I'm trying to ask. There has
14 been testimony that there is, approximately, 400 megawatts
15 of capacity associated with the Hines Unit 2 unit in the
16 first year in which it comes on-line. That is not
17 necessary to meet Power Corp.'s 20% reserve margin.

18 Given that, in the analysis here, was Florida
19 Power Corporation, the revenues that could be derived from
20 selling that 400 megawatts of capacity not needed to meet
21 the reserve margin, were dollar figures -- was Power Corp.
22 given any credit for the ability to sell that in the
23 wholesale market?

24 MR. SASSO: I want to object to Ms. Brownless's
25 characterization of the prior testimony. It is what it

1 is. And I don't believe she's appropriately characterized
2 it.

3 COMMISSIONER JACOBS: Ms. Brownless.

4 MS. BROWNLESS: Well, I do believe that
5 Mr. Crisp indicated that there was a certain number of
6 megawatts in the year 2003, 2004, which is when the unit
7 comes on-line that are not necessary to meet the 20%
8 reserve margin that Power Corp. is aiming for.

9 MR. SASSO: I think, that's a very misleading
10 characterization. Mr. Crisp was quite adamant that the
11 company needs all of the capacity of Hines 2 to apply
12 toward the company's reserve margins. The 20% planning
13 criterion is a minimum. And I'm afraid that
14 Ms. Brownless's characterization is misleading. And I
15 don't see any need to characterize the testimony. It is
16 what it is.

17 MS. BROWNLESS: Let me just ask this. I can cut
18 right to the chase here.

19 COMMISSIONER JACOBS: Okay.

20 BY MS. BROWNLESS:

21 Q A capacity credit for the market value of any
22 capacity in excess of FPC's 20% reserve margin criterion,
23 credit was given to the Panda project for that?

24 A Yes, it was given for every year for every
25 portfolio, whether Panda or --

1 Q Was it given to Power Corp. for that?

2 A Yes, it was.

3 Q Based upon the PROSYM sensitivities run by Power
4 Corp., what was the ranking of the alternatives between
5 the three options, Power Corp., Bidder A and Bidder B?

6 A It was Power Corp., Bidder A, and Bidder B in
7 that order.

8 Q And Bidder B would be Panda; is that correct?

9 A No.

10 Q I'm sorry, Bidder A would be Panda.

11 A Yes, Bidder A was Panda.

12 Q So, it goes FPC, Panda, Bidder B.

13 A Correct.

14 Q We discussed, in some detail, yesterday a
15 spreadsheet prepared by Florida Power Corporation
16 concerning the nonprice alternatives or attributes of
17 Panda's project. Were you here for that discussion?

18 A For most of it, yes.

19 Q I can't find my sheet. I'm sorry, let me find
20 my exhibit. Well, let me just ask this very simple
21 question: Did you have any personal knowledge, for
22 example, of Panda's litigation history?

23 A No personal knowledge, only what I heard from
24 Florida Power.

25 Q Did you make any separate inquiry of other

1 sources or try to verify whether Power Corp.'s conclusions
2 about Panda's litigation history were, in fact, correct?

3 A I did not contact either of the bidders
4 directly.

5 Q Okay.

6 A No.

7 Q Well, did you contact analysts on Wall Street or
8 other sources routinely used to verify that type of
9 information?

10 A I don't know that analysts on Wall Street would
11 necessarily know the full litigation history of a company.

12 Q Well, anyone whom one would normally talk to
13 about that type of information. Did you talk to anybody?

14 A I'm not sure where one would go besides the
15 company itself.

16 Q Okay. So, that's a no, right?

17 A That is correct.

18 Q With regard to the regulatory climate in Florida
19 and the ability of Panda to actually construct this
20 project or not construct this project, did you call Panda
21 and ask them about that?

22 A As I say, I did not contact either of the
23 bidders directly. I did not think that that was
24 appropriate.

25 Q Okay. And so, you didn't attempt to talk to

1 Panda or verify any of the statements made on the sheet?

2 A I participated in the one-on-one discussion with
3 Sam Doaks. So, I was involved in these discussions. And
4 that afforded me the opportunity to hear Mr. Doaks,
5 explain the proposal, present any additional information
6 he wanted to, and react to the concerns that were being
7 expressed by Florida Power. And I considered that to be a
8 very good forum for any sort of additional interchange of
9 information to occur.

10 Q At those meetings, did you have any ability to
11 ask questions yourself?

12 A Excuse me?

13 Q In those meetings in which you participated with
14 personnel from FPC and Mr. Doaks from Panda, were you able
15 to ask questions, as well as Power Corp.?

16 A Yes, I was able to.

17 Q And did you?

18 A These meetings were back in mid April. I don't
19 recall what questions I may have asked.

20 Q Okay. So, you don't remember now whether you
21 did or did not?

22 A I primarily was listening, but I may have asked
23 a question or two.

24 Q Okay. I want to ask a few questions about your
25 response surface model. And this is the model, as I

1 understand it, that you developed in order to review the
2 data presented by Power Corp.; is that correct?

3 A Yes, corroborate the evaluation results.

4 Q Okay. And this response surface model, is that
5 a proprietary model that's available to anybody that can
6 give you a license fee for same?

7 A It's not a formalized model in the sense of
8 being a commercially available software product. We, as a
9 corporation, develop these response surface models for
10 various clients using proprietary information from them
11 about their power system costs.

12 So, this is confidential information in that I
13 would not turn around and sell Florida Power Corp.'s
14 response surface model to anybody else. It is
15 confidential information and material, protected under our
16 agreement with them.

17 Q Would it be fair to say that the response
18 surface model is a spreadsheet?

19 A Yes.

20 Q And the parameters on that spreadsheet, what are
21 the parameters that one would place there?

22 A The response surface model itself looks at the
23 variable costs of a resource and how they might be
24 dispatched and affect the total production cost of a
25 particular utility, Florida Power Corp., in this case.

1 So, the parameters that go into the response
2 surface model are those associated with a particular
3 resource. And they would be the size of the resource, the
4 fuel price associated with that resource, the heat rate,
5 and the variable O&M charge.

6 Q And this data would have been separately
7 corroborated by you or provided to you by Florida Power
8 Corp.?

9 A This was information that was corroborated by me
10 and my staff and extracted directly from the proposals or
11 from Attachment C -- Attachment D, excuse me, to the RFP
12 in the case of the Hines 2 information.

13 Q Okay. So, you made sure that the data Power
14 Corp. gave you about Panda's bid was accurate?

15 A I was actually there at the bid opening and
16 retrieved one of the copies of the Panda proposal, as well
17 as that of Bidder B and, therefore, left the premises with
18 my own copies, yes.

19 Q Okay. Did you make any independent analysis of,
20 for example, the heat rate that was modeled by Power Corp.
21 in their model for their own unit as to whether that was
22 an appropriate heat rate or reasonable heat rate or --

23 A No, that was a given from Attachment D.

24 Q Okay. So, all of the materials -- all of the
25 information contained in Attachment D formed the basis for

1 your comparisons on this pro forma spreadsheet?

2 A That is correct.

3 Q And you didn't attempt to make any independent
4 corroboration of the numbers therein. That's what they
5 gave you, and that's what you took.

6 A Exactly.

7 Q Now, I'm assuming that you did exactly the same
8 thing for Bidder B as you did for Panda?

9 A That is correct.

10 Q And when I say exactly the same thing, I mean,
11 followed the same process?

12 A Yes.

13 MS. BROWNLESS: Thank you.

14 COMMISSIONER JACOBS: Staff?

15 MS. HART: Mr. Chairman, Staff has no questions
16 for this witness.

17 COMMISSIONER JACOBS: Commissioners?

18 COMMISSIONER JABER: Mr. Taylor, help me
19 understand what happens in other states. I read in your
20 testimony that you've participated or at least evaluated
21 proposals in California, Texas, Colorado, Minnesota and
22 Iowa. Are the bidding rules or statutes in those states
23 similar to what Florida's process is?

24 THE WITNESS: For the most part, yes.

25 COMMISSIONER JABER: What are some of the

1 differences?

2 THE WITNESSES: I would say one difference,
3 Florida is very explicit in its rules about the need to
4 include the self-build options information right in the
5 RFP, and that is a source of some debate. In fact, at the
6 beginning of the project, I brought that up saying is that
7 really something that you want to do? You've got a very
8 competitive unit and that could actually scare away
9 participation.

10 And it was pointed out to me very quickly that
11 these are the Florida rules, and I was provided the
12 transcript of the Commission proceeding on the Gulf Power
13 waiver back in 1998, and it gave me some very good
14 background, as far as some of the Commission's reasoning
15 on that.

16 And I, frankly, think that that is actually
17 appropriate, because it can be somewhat disingenuous to
18 not put the information out there and have bidders come in
19 with no idea of what the bogey is, what the target is that
20 they need to at least attempt to beat. So, I concur with
21 that process, but I think that there are trade-offs there.

22 I have seen other solicitations, one in Texas
23 that I was involved with that also involved a requirement
24 to present the information of the self-build unit. And
25 that also yielded a very low response rate, because the

1 resource was very cost competitive.

2 COMMISSIONER JABER: You were hired by Florida
3 Power Corp. early on in the process, because they wanted
4 your help in crafting the RFP, right?

5 THE WITNESS: That is correct.

6 COMMISSIONER JABER: All right. You're hired to
7 give an independent judgment on each bid, correct?

8 THE WITNESS: Yes.

9 COMMISSIONER JABER: Explain to me, give me an
10 understanding of the nature of the communications between
11 you and, in this case, the client, Florida Power Corp., to
12 the degree you can. I'm trying to understand, and I mean,
13 no disrespect by it, I just want to understand the
14 process. I'm trying to understand how independent your
15 opinion can be. And keep in mind, these are issues
16 related to Issue 5. We have to determine whether the bid
17 process is fair.

18 THE WITNESS: Right.

19 COMMISSIONER JABER: So, I want to understand
20 what the nature of your communications are with Florida
21 Power Corp. and at what stage do you have those
22 conversations.

23 THE WITNESS: I first met with Florida Power
24 last fall at the start of this process and reviewed their
25 RFP, contributed various language to the RFP. Most of

1 that process, then, was done back and forth by phone calls
2 and e-mails, as far as conferring on this, although we did
3 have an on-site meeting at the beginning of the process
4 and, I believe, perhaps once before the RFP was actually
5 issued.

6 There was the trip to Florida involving the bid
7 opening, there was the trip involving the bid conference.
8 And I was kept apprised of any discussions or e-mails,
9 copied on e-mails of conversations or discussions or
10 documented interchange with anybody in the bidding
11 community during this period where the RFP had been
12 issued, and bidders were asking questions.

13 As I say, I was there at the bid conference and
14 was able to participate in that and see if the bidders had
15 any particular concerns with the evaluation process that
16 was being explored. I was there at the bid opening.

17 My staff was in contact with various individuals
18 at Florida Power Corp., as far as monitoring their
19 evaluation of the resources, as well as conducting, as I
20 say, our own evaluation with the response surface model.
21 And then there was, basically, a set of phone calls and,
22 ultimately, a meeting to discuss the final results and the
23 direction that Florida Power Corp. saw things and where
24 Hagler Bailly saw them. And, indeed, we concurred with
25 their decision and moved ahead with Hines 2.

1 COMMISSIONER JABER: If there was a situation,
2 and I don't know, there might have been, at any point in
3 your review of the bids where you disagreed with Florida
4 Power Corporation's evaluation of any bid, who would --
5 you know, who would take the lead? Whose vote would have
6 to take priority, yours or Florida Power Corporation?

7 THE WITNESS: Well, certainly, I sponsor my own
8 testimony. So, this would be my independent opinion. And
9 to the extent that there were disagreements, I would have
10 brought them to the Commission's attention in my
11 testimony.

12 There were various elements of the analysis,
13 very small things were very below O&M charges were either
14 escalating or not escalating appropriately that my staff
15 pointed out and there was, basically, a discussion then,
16 usually among my staff and the individuals at Florida
17 Power Corp. who were working with the spreadsheets
18 ultimately and the modeling results and getting things
19 straightened out.

20 So, we never hit a point where there was a
21 disagreement where they were advocating going in this
22 direction on an issue and Hagler Bailly was advocating
23 going in that. It was a matter of interpreting the bid
24 results, making sure that the correct numbers got on the
25 model. So, there were various aspects where some small

1 issues, very minor things, were addressed, but those got
2 worked out, as far as each party understanding, then,
3 exactly what had changed.

4 COMMISSIONER JABER: If I were to ask you the
5 question in Issue 5, has Florida Power Corporation met the
6 requirements of our own bidding rule by conducting a fair
7 bid process, how would you answer that for me?

8 THE WITNESS: I would answer it yes, they have.

9 COMMISSIONER JABER: And did you give me your
10 testimony on whether you believe you fairly evaluated the
11 three bids?

12 THE WITNESS: Yes, I believe that Hagler Bailly
13 fairly evaluated the three bids.

14 COMMISSIONER JACOBS: Mr. Taylor, are you aware
15 that in order to carry out the analysis for Panda's
16 proposal beyond the five years that we're certain their
17 original filing was extrapolated out in order to do an
18 analysis over the whole term that was expected --

19 THE WITNESS: Yes.

20 COMMISSIONER JACOBS: -- did you have any input
21 or did you review those extrapolations to determine
22 whether or not they met the reasonable standards?

23 THE WITNESS: Yes. I and my staff reviewed
24 those extrapolations, and I also concurred with the
25 overall methodology and philosophy behind that.

1 Typically, throughout the country, utilities will examine
2 their resource alternatives and model the entire planning
3 period, particularly for any situation where resources
4 expand the entire period.

5 And in the shorter-term resources there will be
6 some sort of fill-in, if you will; be it, other utility
7 self-build options that may be build out at the end of
8 that short-term resource time frame, as was the case here,
9 or some sort of market proxy, as far as what might be
10 available to the utility in the time frame that the
11 short-term resource expires.

12 COMMISSIONER JACOBS: And finally, it is of some
13 concern to me that we have a bidding rule, but what I hear
14 you saying and what the record in this case seems to
15 reflect is that it doesn't attract -- well, let me put it
16 this way. It can have the impact of not attracting a
17 robust community of bidders.

18 And in your position as an independent evaluator
19 of that process, I would kind of want to piggyback on the
20 question that Commissioner Jaber asked you. What would --
21 an innovative provider, what would be a factor that this
22 process could embrace that would be more conducive to
23 innovative producers bidding on projects such as this?

24 And I understand that there was some particular
25 issues in this -- facts in this particular issue, but

1 setting those aside, here is a prime project, substantial
2 load, in a very dynamic market. It strikes me as odd that
3 only two companies, particularly, when I've heard all of
4 the information in other proceedings we've had about how
5 attractive this market is and how much load we can expect
6 to have in the next two or three years, it strikes me as
7 particularly odd that we find ourselves in a proceeding
8 when that could have been demonstrated and wasn't.

9 THE WITNESS: Your Honor, let me comment on that
10 last point first and then get back to the question of how
11 the process might be changed because, frankly, I don't
12 know that it can, but on the second point, though, I agree
13 with you. I think that this is a dynamic market with a
14 great deal of load growth.

15 I think, that what we're seeing -- around the
16 country, I've certainly seen in solicitations over the
17 last 12 to 24 months as a dramatic run-up in the costs of
18 these new resources, largely because the turbine market is
19 very, very tight. And bidders who are interested in
20 bidding projects are using their scarce turbine resources
21 in placing them in the places where they think they can
22 make the most money. So, where market prices have been
23 running up in some of the deregulative markets, California
24 and New York and so forth --

25 COMMISSIONER JACOBS: I see.

1 THE WITNESS: -- they're placing their turbines
2 there. So, to some extent, I think that what you have
3 here is Florida Power had a very cost-effective resource
4 that was being put forward. And a lot of the IPPs simply
5 said I'd rather go bid in some markets where I think that
6 the immediate competition is going to be the IPP next to
7 me, and they're probably in the same boat. So, they were
8 looking for markets where, basically, their competition
9 was in the same boat.

10 Getting back to your first point, as far as
11 changes to this process that might enhance the number of
12 bidders that might submit proposals, I don't know that I
13 really can proffer any recommendations.

14 I hope that my testimony did not insinuate that
15 I thought that the way the Florida rules were with the
16 requirement to put the self-build unit information
17 directly in the RFP that they were wrong, because I simply
18 brought the issue up to Florida Power saying this may be a
19 consequence, and we discussed it. But, I think, after my
20 reading through the transcript of the Commission
21 proceedings in the Gulf Power waiver, I saw the arguments
22 going back and forth, and I concurred with the decision of
23 the last Commission.

24 COMMISSIONER JACOBS: Well, I take a different
25 tact on it. I think, the self-build option should prompt

1 the innovative company out there to sharpen their pencils.

2 THE WITNESS: I think, it would be somewhat
3 disingenuous, to some extent, not to put the information
4 in the RFP, because then you're going to have a number of
5 companies coming in trying to bid something that's going
6 to be rather profitable but not knowing what the target
7 is.

8 And then, when the utility is allowed to put its
9 cards on the table, and it's learned that this was a very
10 competitive proposal and that the IPPs even have sharper
11 pencils, they may feel especially burned. So, I think, in
12 the interest of disclosure, it's actually beneficial to
13 have the utility present the information as was done in
14 Florida Power's case.

15 COMMISSIONER JACOBS: Very well. Redirect.

16 MR. SASSO: Very briefly.

17 REDIRECT EXAMINATION

18 BY MR. SASSO:

19 Q Mr. Taylor, were you able to observe whether
20 Florida Power Corporation's use of PROSYM and PROVIEW on
21 this project was appropriate, valid and consistent with
22 industry practice?

23 A Yes, I was.

24 Q And what did you observe?

25 A I concluded that their use of the models was

1 consistent with what I've seen across the industry.

2 Q Ms. Brownless asked you about a discussion in
3 your testimony, Page 10, about providing a capacity credit
4 for market value of any capacity in excess of FPC's 20%
5 reserve margin criterion. Can you explain to the
6 Commissioners why this was done as part of the analysis?

7 A Yes. For any particular resource being
8 evaluated, as was discussed through the testimony
9 yesterday, portfolios of resources were built on the tail
10 end of any short-term resources. So, there could be
11 varying levels of capacity that were in surplus in the 20%
12 minimum reserve margin.

13 So, therefore, this was simply a way of placing
14 the different portfolios of resources on the same level
15 playing field, as far as recognizing that certain
16 portfolios might have additional capacity above and beyond
17 the 20%. And that may have been with Bidder B or with
18 Panda or with Florida Power. It changed from one year to
19 the next, and it changed between sensitivities. So, it's
20 simply a way to make sure that everything was level, as
21 far as the amount of capacity.

22 Q Was the important consideration here the
23 relative difference among the projects as opposed to the
24 absolute numbers you got?

25 A Yes. I think that the absolute numbers, in and

1 of themselves, though, are fairly significant numbers.
2 But, certainly, they translate into relative differences
3 as well.

4 Q By using this capacity credit, did you mean to
5 imply or do you believe Florida Power meant to imply that
6 the company does not need the full 530 megawatts for its
7 reserve margins?

8 A No. I've certainly seen this capacity credit
9 given in numerous solicitations to recognize that a
10 utility meeting or exceeding its reserve margin has
11 additional value.

12 MR. SASSO: No further questions.

13 COMMISSIONER JACOBS: We have Exhibit --

14 MR. SASSO: Exhibit 13, we would move that in at
15 this time.

16 COMMISSIONER JACOBS: And Exhibit 12?

17 MR. SASSO: That was the late filed.

18 COMMISSIONER JACOBS: I'm sorry, that was
19 Ms. Brownless.

20 MS. BROWNLESS: Yes, sir; Crisp would provide.

21 COMMISSIONER JACOBS: Now, did you say a CV was
22 attached to this?

23 MR. SASSO: Yeah, that's Exhibit 13.

24 COMMISSIONER JACOBS: Okay. I don't have that.

25 MR. SASSO: It should be in the back of the

1 public testimony. It's AST-1.

2 COMMISSIONER JACOBS: I don't have one, but just
3 make sure the clerk has one. I don't have one in my --

4 MR. SASSO: We will.

5 COMMISSIONER JACOBS: Very well. Show Exhibit
6 13 is admitted.

7 (Exhibit 13 admitted into the record.)

8 COMMISSIONER JACOBS: We'll take a break, come
9 back at 10:30.

10 (Brief recess.)

11 COMMISSIONER JACOBS: Should we wait for Mr.
12 Sasso? Here he is.

13 MS. BOWMAN: Mr. Chairman, we can proceed.

14 COMMISSIONER JACOBS: Okay. Very well. We'll
15 go back on the record. Let's see, we were about to call
16 your next witness.

17 MS. BOWMAN: Yes, Mr. Chairman. Florida Power's
18 next witness is Mr. Robert Niekum. And the parties and
19 Staff have been able to stipulate on the admission of
20 Mr. Niekum's prefiled testimony and exhibits.

21 COMMISSIONER JACOBS: Good news.

22 MS. BOWMAN: So, at this time, I would like to
23 ask that Mr. Niekum's testimony be entered into the record
24 as though read.

25 COMMISSIONER JACOBS: Without objection, show

1 Mr. Niekum's testimony as entered into the record as
2 though read.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

IN RE: PETITION FOR DETERMINATION OF NEED
BY FLORIDA POWER CORPORATION
FPSC DOCKET NO. _____

DIRECT TESTIMONY OF ROBERT D. NIEKUM

1 I. INTRODUCTION AND QUALIFICATIONS.

2

3 Q: Please state your name, your employer, and business address.

4 A. My name is Robert D. Niekum. I am employed by Florida Power Corporation
5 ("FPC" or the "Company"). My business address is Florida Power Corporation,
6 One Power Plaza, 263 13th Avenue, South, St. Petersburg, Florida 33701.

7

8 Q. Please tell us your position with the Company and describe your duties and
9 responsibilities in that position.

10 A. I am currently employed by FPC as the Director of FPC's Fuels Supply
11 Department. I have held that position for five (5) years. I have worked for FPC
12 since 1982, and I have worked in FPC's Fuels Supply Department (formerly
13 called the Fuels and Special Projects Department) since 1995. As the Director of
14 FPC's Fuels Supply Department, I am ultimately responsible for the development
15 and maintenance of FPC's fuels forecasts; the procurement of residual fuel oil,
16 coal, distillate oil, and natural gas for FPC's electrical power generation facilities;
17 and the administration of FPC's contracts for fuels with FPC's various suppliers.

18

1 Q. Please tell us about your educational background and experience.

2 A. I received a Bachelor of Science degree in Electrical Engineering from the
3 University of Florida in 1976, and a Masters of Engineering in Electrical
4 Engineering from the University of Florida in 1982. My undergraduate course
5 work was primarily in the area of electrical engineering for power systems. My
6 graduate work in electrical engineering specialized in electric utility system
7 planning.

8 In June 1976, I was employed by the Jacksonville Electric Authority. I
9 held several engineering positions in the Transmission and Substation Design
10 Department, the Energy Control Center, and in the System Planning Department.

11 After receiving my Masters of Engineering in 1982, I was employed by
12 FPC as a Project Engineer in the System Planning Department, responsible for
13 transmission and distribution planning for two FPC divisions in central Florida.
14 In 1989, I assumed the position of Senior Generation Planning Engineer. In
15 December 1990, I was appointed Manager of Generation Planning. As the
16 Generation Planning manager, I was responsible for the development of
17 Integrated Resource Planning ("IRP") studies, engineering project evaluations,
18 and generation reliability calculations. In March 1995, I was named Director of
19 Fuels Supply, with responsibility for procurement of all of the fossil fuel used in
20 the Company's fossil fuel plants. I was directly responsible for obtaining the fuel
21 supply for the operation of the Hines 1 combined cycle plant.

22
23

1 Q. Are you a member of any professional organizations?

2 A. Yes. I am a member of the Institute of Electrical and Electronic Engineers. I am
3 also a registered Professional Engineer in the State of Florida.

4

5 II. PURPOSE AND SUMMARY OF TESTIMONY.

6

7 Q. What is the purpose of your testimony in this proceeding?

8 A. I am testifying on behalf of FPC in support of its Petition for Determination of
9 Need by (i) generally describing and explaining the reasonableness of the fuels
10 forecast developed by the Fuels Supply Department and used by the Company in
11 the IRP, (ii) identifying the types and amounts of fuel the Company plans on
12 using at the Hines 2 plant ("Hines 2"), including the expected availability of those
13 fuels for that plant, and (iii) generally describing the options available to transport
14 the types and amounts of fuel the Company plans to use at Hines 2 to the Hines
15 Energy Complex ("HEC") where the Hines 2 unit will be located.

16

17 Q. Are you sponsoring any sections of FPC's Need Study, Exhibit ____, (JBC-
18 1)?

19 A. Yes. I am sponsoring Section II, C, 2., "FPC's Fuels Forecast," Section V, C,
20 "Adequacy of Supply and Transportation of Fuels," and Section VII, E, "Fuel
21 Transportation and Supply," of the Need Study.

22

1 Q. Are you sponsoring any exhibits to your testimony?

2 A. Yes, I am sponsoring the following exhibits to my testimony:

RDN-1 Chart of FPC's Fuels Forecast.

RDN-2 Chart of FPC's Base, High, and Low Case Natural Gas Forecasts.

RDN-3 Chart of FPC's Natural Gas Forecast Compared to Other Industry Forecasts.

RDN-4 Table of Estimated Gulf Coast Gas Reserves.

RDN-5 Table of Gas Transportation Options.

10 Q. Please give us a summary of your testimony.

11 A. The Company relies on the Fuels Supply Department to prepare a fuels forecast
12 for the IRP process. FPC's fuels forecast is a primary input in the IRP process. It
13 projects both short- and long-range prices for the various types and grades of fuel
14 available to and used by FPC on its electrical generation system.

15 FPC's fuels forecast is prepared under my direction, as Director of FPC's
16 Fuels Supply Department, and I am involved in and have personal knowledge of
17 the preparation of the forecast. FPC's fuels forecast is prepared from an extensive
18 review and a rigorous analysis of available and relevant information, and from the
19 experience of FPC and other Florida utilities and gas consumers with respect to
20 fuel prices. Given my experience in developing fuels forecasts for FPC, and my
21 knowledge of and experience with various widely recognized and generally

1 accepted third party fuels forecasts, I can state affirmatively that FPC's fuels
2 forecast is reasonable and in line with the forecasts of other recognized industry
3 sources for such forecasts.

4 Natural gas is the primary fuel planned for Hines 2. It is a readily
5 available fuel source, given current and projected levels of long term supply of
6 natural gas in the United States, and, as a result, is an economical fuel source for
7 Hines 2. Backup fuel for Hines 2 will be distillate oil, which is also readily
8 available as a fuel source now and in the future.

9 Natural gas will be transported to the Hines 2 unit by gas pipeline. The
10 HEC is currently served by a connection to the Florida Gas Transmission
11 Company ("FGT") pipeline but FGT does not have surplus firm transportation
12 capacity sufficient to serve Hines 2. However, as demonstrated by Exhibit __
13 (RDN-5), expansions of the FGT pipeline and several additional gas pipelines
14 have been proposed for service in the State of Florida and are in various stages of
15 development, and one or more of these pipeline expansions and/or new gas
16 pipelines can reasonably be expected to be completed and capable of providing
17 natural gas transportation service to customers in the State of Florida, including
18 FPC for Hines 2, in the next two to three years. FPC is confident that it will be
19 able to arrange for all of the firm gas transportation service it will require for
20 Hines 2 in time to meet the expected in-service date for that unit in late 2003.

21 Distillate oil, the planned backup fuel for the Hines 2 unit, will be
22 transported to HEC by truck. Similar backup fuel transportation service is being
23 provided now to HEC for the Hines 1 unit. The addition of Hines 2 is not

1 expected to increase significantly the truck transportation of distillate oil to the
2 HEC. The existing oil tank at the HEC is adequate to provide backup fuel to both
3 units (Hines 1 and 2) for approximately 3 days of operation at full load.
4

5 III. FPC'S FUELS FORECAST.

6
7 **Q. Why do you supply a fuels forecast for the IRP process?**

8 **A.** Relevant fuel prices and their differentials are important economic factors in
9 determining the kinds of new generation to be added to FPC's system.

10 Additionally, fuel prices are relevant to the determination of the most efficient
11 method of operating existing and proposed generating units on FPC's system in
12 compliance with environmental and system requirements. For these reasons,
13 FPC's fuels forecasts are a material part of the IRP process.
14

15 **Q. What is FPC's fuels forecast in the Company's IRP process?**

16 **A.** FPC's fuels forecast is shown in Exhibit ___ (RDN-1).
17

18 **Q. What are the basic components of FPC's fuels forecast?**

19 **A.** The forecast consists of several discrete forecasts of prices by fuel type. Prices
20 are projected for the following fuels: natural gas, coal, and oil. Where different
21 grades of fuel are available — for example, in the case of coal and oil — we also
22 have included price forecasts for several different grades or types. In addition, we
23 developed a bandwidth of probable prices for each fuel by considering a base case

1 forecast as well as high and low case forecasts. The forecast also includes FPC's
2 contracts for natural gas transportation capacity and estimates of interruptible
3 natural gas supplies.

4
5 **Q. Are the fuels represented in FPC's fuels forecast the most likely fuels to be**
6 **available to and used by FPC during the forecast period?**

7 **A.** Yes, they are.

8
9 **Q. Can you generally describe the methodology behind FPC's fuels forecast in**
10 **the IRP process?**

11 **A.** Yes. We start with a list of the various fuels that potentially could be used at
12 FPC's existing and future generation plants. Those fuels are: coal (including
13 several grades or types of coal that can be burned at FPC's Crystal River Units 1,
14 2, 4, and 5), oil (2.5% sulfur, 1.5% sulfur, and 1.0% sulfur residual fuel oil, and
15 No. 2 fuel oil), and natural gas. Next, we develop a low, base, and high price
16 forecast for each fuel that we identified based on expected price trends over the
17 next five to ten years, using our historical experience with fuel prices and reliance
18 on our analysis of widely recognized and generally accepted third party sources of
19 information relevant to the projected supply and price of each fuel. The base case
20 is considered the most likely scenario. For example, a chart of FPC's base, low,
21 and high case natural gas price forecasts can be found in Exhibit ____ (RDN-2).

22 Once FPC has prepared its fuels forecast, FPC continuously re-evaluates
23 the forecast against various standard third party fuel price forecasts and

1 developments and trends with respect to each fuel type to verify that FPC was and
2 is reasonable in developing its fuels forecasts. When and if necessary, FPC will
3 adjust its fuels forecast to take into account changes in the fuels markets.
4

5 **Q. How did you arrive at the natural gas forecast?**

6 **A.** The natural gas price forecast was derived from price estimates for the Gulf Coast
7 market area (such as the Henry Hub and Mobile Bay). FPC uses the Petroleum
8 Industry Research Associates ("PIRA") as a forecasting consultant service. In
9 addition, FPC contacts suppliers who are willing to enter into long-term contracts
10 for gas supplies, and quotes by these companies are used as an additional forecast
11 input. Also, data from public agencies such as the Energy Information
12 Administration ("EIA") are considered as a reference source. The final forecast is
13 an estimate based upon these inputs. Transportation costs, including fixed and
14 variable components, were estimated based upon the prevailing tariff rate for
15 service on the FGT pipeline system and the expected rates available from the
16 various proposed new pipelines.

17

18 **Q. What conclusion did you reach about natural gas as a fuel source for Hines 2,**
19 **based on your work on FPC's fuels forecast?**

20 **A.** Natural gas is and will be a competitively priced fuel source for Hines 2 compared
21 to other types of fuel and generation technologies, based on the forecast of natural
22 gas price trends compared to oil and coal price trends. It is also an attractive fuel
23 source because, as compared to coal and oil, it is a clean burning fuel, which has a

1 favorable impact on the capital cost of constructing generating facilities capable
2 of complying with current and future environmental regulations, including the
3 Clean Air Act, and can reduce FPC's overall sulfur emissions in order to comply
4 with the Clean Air Act.

5 Furthermore, based on our experience and in our professional judgment,
6 and also on other widely recognized and generally accepted fuels forecasts, the
7 projected prices for natural gas and other fuels in FPC's fuels forecast reasonably
8 reflect FPC's future fuel costs. The chart in Exhibit ___(RDN-3) sets forth FPC's
9 natural gas forecast along with the natural gas forecasts of other, widely
10 recognized and generally accepted third party sources. As demonstrated in
11 Exhibit ___ (RDN-3), FPC's natural gas forecast is in line with the natural gas
12 forecasts of all of the third party sources reported there.

13
14 **Q. The price of gas on the spot market has risen significantly in the last few**
15 **months. Are FPC's fuels forecast and base natural gas forecast in Exhibits**
16 **___ and _____ (RDN-1 and RDN-3) still accurate?**

17 **A.** Yes. We recognize that the spot price of gas has increased in the supply areas
18 from which FPC expects to obtain the natural gas fuel for Hines 2. Price volatility
19 exists and will continue to exist in the gas markets, but over the long term, as
20 indicated by the FPC fuels and natural gas forecasts, we expect prices to come
21 down from current levels.

22

23

IV. FUELS FOR THE HINES 2 UNIT.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Q. Please describe the types and amounts of fuels FPC expects to use in the Hines 2 unit.

A. The Hines 2 unit will be a state-of-the-art combined cycle unit similar to the Hines 1 unit. It will have a dual-fuel generation system, meaning that the combustion turbines can be operated on natural gas or distillate oil. For Hines 2, natural gas is the primary fuel and low sulfur (0.05 percent) distillate oil is the planned backup fuel. At peak operation, Hines 2 is expected to require approximately 80,000 million British thermal units (MMBtu) of gas a day, and its average use will be around 65,000 MMBtu per day.

Q. Will FPC be able to obtain sufficient natural gas supplies for the Hines 2 unit?

A. Yes. The daily quantity of gas required to operate Hines 2 is quite small in relation to overall domestic natural gas production, reserves, and resources. The natural gas exploration and production industry, in this country and in Canada, is engaged in aggressive efforts to maintain and expand the North American natural gas reserve base, spurred by both greater demand for gas and higher gas prices. There is a substantial amount of exploration and development activity going forward in the deeper waters of the Gulf of Mexico, where large new gas reserves have been and are expected to be discovered and developed, and these new reserves will be a geographically close source of supply for Hines 2. Further, and

1 as demonstrated by the proposed Cypress pipeline project, liquefied natural gas
2 (“LNG”) is being added to the mix of gas supply available to U.S. gas consumers.
3 Exhibit __ (RDN-4) sets out the forecasts for Gulf Coast gas resources of the
4 leading sources of such information and clearly shows that there will be adequate
5 supplies of natural gas to fuel the Hines 2 facility over its useful life.
6

7 **Q. Will FPC be able to obtain sufficient natural gas supplies for the Hines 2 unit**
8 **at a reasonable cost?**

9 **A.** Yes. One reason is the abundance of the Gulf Coast gas reserves, as reflected in
10 my answer to the previous question. Florida is situated rather close to significant
11 existing and potential onshore gas reserves in Louisiana, Mississippi, and
12 Alabama, as well as the existing and potential offshore Gulf Coast gas producing
13 regions and some of the nation’s largest deposits of coalbed methane. These
14 supply sources have and will have easy access to the existing FGT pipeline, and
15 FPC is confident that a new underwater gas pipeline will be constructed that will
16 directly connect the Florida gas markets to the huge existing and potential gas
17 reserves of the Gulf Coast and adjacent Outer Continental Shelf. Consequently,
18 transportation distances for natural gas into Florida are now relatively short and
19 will become shorter, resulting in lower transportation costs for gas sold for
20 consumption in Florida, so that we may be assured that natural gas will be
21 aggressively and competitively marketed in the State of Florida.
22

1 Q. Has FPC signed any contracts or letters of intent for its gas supply to Hines
2 2?

3 A. No.

4
5 Q. Why not?

6 A. At this point, before the Company has received regulatory authorization for Hines
7 2, and long before that facility's expected in-service date, it would be premature,
8 potentially costly, and unnecessary for FPC to enter into contracts for either short-
9 or long-term gas supplies. Most suppliers would insist that FPC make significant
10 "up front" payments and/or "stand by" payments in return for a commitment of
11 their reserves at this time to Hines 2, and the cost of such payments made in
12 advance of gas delivery and use would more than offset any potential increase in
13 gas prices between the present and the Hines 2 in-service date. Further, the prices
14 in the gas supply markets from which FPC expects to supply natural gas to Hines
15 2 are currently relatively high, due to high demand for gas relative to the ability of
16 the operators of those reserves to make gas available for delivery. This tight
17 deliverability situation was caused in large part by the low prices for gas that
18 prevailed for much of the preceding two to three years, and is expected to be a
19 temporary condition as improving gas prices provide the impetus for additional
20 exploration and development and expansion of reserves and deliverability, which,
21 in turn, will put downward pressure on price. FPC believes, based on its fuels
22 forecast and gas procurement experience, that the cost of gas supply for Hines 2
23 will be lower if the contracts for such supply are entered into closer to the

1 facility's in-service date — when the supplier(s) will receive immediate cash flow
2 from the supply contract(s) — than if contracts were negotiated in today's market
3 conditions.

4

5 **Q. Will FPC be able to obtain short- and long-term gas supply contracts in time**
6 **for the commercial operation of Hines 2?**

7 **A.** Yes. The Company plans to enter into contractual arrangements for firm gas
8 supply for delivery as of the in-service date of Hines 2, well prior to the
9 commencement of commercial operation of Hines 2. The Fuels Department has
10 developed and maintains gas supply relationships with a number of gas producers
11 and gas marketers, and anticipates no difficulty in obtaining contracts for gas
12 supplies adequate for Hines 2 on competitive terms and conditions at market-
13 based prices. In all likelihood we will enter into a "portfolio" of gas supply
14 contracts of varying terms to meet the Hines 2 requirements, in order to achieve
15 the lowest cost of fuel consistent with reliable availability. As discussed more
16 fully below, we expect to contract on a long-term firm basis for gas transportation
17 capacity for all or most of Hines 2's gas supply, although we may enter into one
18 or more supply contracts under the terms of which the gas supplier arranges for
19 the delivery of the gas to the HEC for Hines 2.

20

21

22

23

6

V. FUEL TRANSPORTATION FOR THE HINES 2 UNIT.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

Q. Will FPC be able to obtain sufficient and reliable transportation service for the Hines 2 gas supplies?

A. Yes. As reflected by Exhibit __ (RDN-5), FGT is now constructing its Phase IV pipeline expansion, in which FPC has subscribed for firm capacity for its existing gas-fired generation fleet, and there are two further expansions of the FGT pipeline, Phase V and Phase VI, currently in the development stage, which will provide additional gas transportation capacity to the Florida gas markets. There are also two new pipeline projects, the Gulfstream Natural Gas System (“Gulfstream”) project and the Buccaneer Gas Pipeline Company (“Buccaneer”) project, that have received preliminary authorization from the Federal Energy Regulatory Commission (“FERC”) to construct interstate gas pipelines under the Gulf of Mexico to serve Florida’s gas markets. Further, El Paso Energy Corporation has proposed a pipeline project, the Cypress pipeline, to transport gasified LNG from its Elba Island LNG terminal to an interconnection with FGT in north Florida. FPC has discussions ongoing with FGT, Gulfstream, Buccaneer, and Cypress, concerning FPC’s requirements for firm gas transportation capacity for Hines 2, approximately 65,000 MMBtus per day of transportation service. FPC is, therefore, confident that it will be able to obtain a contract(s) for all of its gas transportation service requirements for Hines 2. FPC expects that the rates it will pay for that service will be no higher than, and, because of the competitive environment in which FPC will negotiate its gas transportation contract(s) for

1 Hines 2, in all likelihood lower than, the rate for firm gas transportation service
2 currently charged by FGT under its FERC natural gas tariff.

3

4 **Q. Does this conclude your direct testimony?**

5 **A. Yes.**

1 MS. BOWMAN: And Mr. Chairman, Mr. Niekum also
2 had a number of prefiled exhibits, RDN-1 through RDN-5.
3 At this time, I would ask that they be marked as composite
4 Exhibit 14 and admitted into the record.

5 COMMISSIONER JACOBS: Very well. Show that
6 composite Exhibit consisting of RDN-1, RDN-2, 3, 4, and 5
7 is marked as Exhibit 14 and without objection, show it
8 admitted.

9 (Exhibit 14 marked for identification and
10 admitted into the record.)

11 COMMISSIONER JACOBS: No other exhibits for
12 Mr. Niekum? Very well. Thank you.

13 MR. WALLS: Mr. Chairman, our next witness is
14 Mr. Eric Major.

15 ERIC G. MAJOR

16 was called as a witness on behalf of Florida Power
17 Corporation and, having been duly sworn, testified as
18 follows:

19 DIRECT EXAMINATION

20 BY MR. WALLS:

21 Q Mr. Major, will you introduce yourself to the
22 Commission by giving your name, position and business
23 address, please.

24 A Eric Major; I work for Florida Power as Director
25 of Construction and Design Engineering. Business address

FLORIDA PUBLIC SERVICE COMMISSION

1 is 263 13th Avenue South, St. Petersburg, Florida 33701.

2 Q Mr. Major, did you prepare and file direct
3 prefiled testimony in this proceeding?

4 A Yes, I did.

5 Q Did you also prepare and file, in this
6 proceeding, certain exhibits identified in your prefiled
7 testimony?

8 A Yes, I did.

9 Q If I were to ask you the same questions
10 contained in that testimony today, would your answers be
11 the same?

12 A Yes, they would.

13 Q Do you have any changes or corrections to make
14 to that testimony?

15 A No, I do not.

16 Q Do you adopt this testimony as your sworn
17 testimony before the Commission in this proceeding?

18 A Yes, I do.

19 MR. WALLS: Mr. Chairman, I request that
20 Mr. Major's prefiled testimony be entered into the record
21 as though read.

22 COMMISSIONER JACOBS: Show it entered into the
23 record as though read.

24

25

IN RE: PETITION FOR DETERMINATION OF NEED
BY FLORIDA POWER CORPORATION
FPSC DOCKET NO. _____

DIRECT TESTIMONY OF ERIC G. MAJOR

1

2

I. INTRODUCTION AND QUALIFICATIONS.

3

4 Q. Please state your name, your employer, and business address.

5 A. My name is Eric G. Major. I am employed by Florida Power Corporation ("FPC" or
6 the "Company"). My business address is Florida Power Corporation, One Power
7 Plaza, 263 13th Avenue, South, St. Petersburg, Florida 33701-5512.

8

9 Q. Please tell us your position with Florida Power Corporation and describe your
10 duties and responsibilities in that position.

11 A. I am employed by FPC as its Director of Construction and Design Engineering. As
12 FPC's Director of Construction and Design Engineering, I am responsible for the
13 overall management and direction of licensing, engineering, procurement, and
14 construction activities associated with new supply-side, generation projects for the
15 Company. This includes the Hines 2 combined cycle generation plant.

16

17 Q. Please tell us about your educational background and experience.

18 A. I received a Bachelor of Science degree in Civil Engineering from the University of
19 Florida in 1967. In 1971, I received a Masters degree in Engineering Administration
20 from the University of South Florida. I am a Registered Professional Engineer in the

1 State of Florida, and I have been so registered since 1971. I am also a certified
2 Electrical Contractor, certified General Contractor, and certified Mechanical
3 Contractor in the State of Florida.

4 My employment history began with FPC in May 1967. I have 12 years of
5 combined engineering/managerial experience in the Energy Delivery area of our
6 Company, 8 years managerial experience in Materials and Contracts, and 13 years of
7 managerial experience in the Energy Supply area of FPC. Since 1990, I have been
8 directing the generation construction activities of FPC during which time FPC has
9 installed a nominal 1,400 MW of generation.

10

11 **II. PURPOSE AND SUMMARY OF TESTIMONY.**

12

13 **Q. What is the purpose of your testimony in this proceeding?**

14 **A.** I am testifying on behalf of FPC, in support of its Petition for Determination of
15 Need, by describing the site and unit characteristics for the Hines 2 combined cycle
16 generation plant, including the size, number of units, fuel type and supply modes,
17 the approximate costs, and the projected in-service date.

18

19 **Q. Are you sponsoring any exhibits to your testimony?**

20 **A.** Yes. I am sponsoring the following exhibits to my testimony:

- EGM-1 Hines Energy Complex Map.**
- EGM-2 Site Arrangement – Overall Plan.**
- EGM-3 Site Arrangement -- Power Block Area.**

1 Apart from the cost savings achieved by placing in operation a state-of-the-
 2 art, highly efficient generation unit, the Company and its ratepayers will further
 3 benefit from a below market cost for the unit. The projected cost for Hines 2 is
 4 approximately \$198 million, which is well below the current market cost for
 5 equivalent units, because the Company has preserved its previously negotiated,
 6 favorable equipment terms.

7 In sum, Hines 2 allows the Company to meet its reliability needs with the
 8 most efficient and sought after technology on the market at a below market cost,
 9 giving the Company and its ratepayers substantial economic benefits in terms of
 10 technology, efficiency and flexibility in operation, and cost of generating power.

11

12 **III. DESCRIPTION OF THE HINES 2 SITE.**

13

14 **Q. Please describe the location of the HEC.**

15 **A.** The HEC is located in southwest Polk County, Florida, approximately 40 miles east
 16 of Tampa, 7 miles south of Bartow, and approximately 3.5 miles northwest of Ft.
 17 Meade. County Road 640 is on the northern boundary of the HEC, and County
 18 Road 555 runs through the site north to south. The location of the HEC is shown in
 19 Exhibit ____ (EGM-1).

20

21 **Q. Please describe the location of Hines 2 at the HEC.**

22 **A.** Exhibit ____ (EGM-2) is the HEC site plan and shows the development of the entire
 23 site. It depicts the relationship of the location of the power block, including Hines 1

1 and the proposed Hines 2 unit, in relation to the existing cooling ponds and water
 2 treatment and wastewater disposal areas for both units. Exhibit ___ (EGM-3) is the
 3 power block layout for Hines 2. It depicts the Hines 2 power block in relation to the
 4 Hines 1 power block and existing rail lines, state roads, and access roads that will
 5 serve both units, and existing dikes and former phosphate mining areas on the HEC
 6 site.

7
 8 **Q. Do the Company and its ratepayers benefit from the location of the Hines 2 unit**
 9 **at the HEC?**

10 **A.** Yes.

11
 12 **Q. What are the benefits to the Company and its ratepayers from locating the**
 13 **Hines 2 unit at the HEC?**

14 **A.** Location of the Hines 2 unit at the HEC offers the Company and its ratepayers the
 15 ability to achieve economies of scale by using existing improvements at the site for
 16 operation of the Hines 2 unit. By building Hines 2 at the HEC, the Company will be
 17 able to use the existing access road, cooling pond, reclaimed water supply pipeline,
 18 water treatment and wastewater disposal facilities, gas lateral, and transmission
 19 facilities, among other site improvements, for both the Hines 1 unit and the proposed
 20 Hines 2 unit. Because the Company can use the existing site improvements for both
 21 units, the Company will not have to design and construct such improvements for the
 22 Hines 2 unit. Location of the Hines 2 unit at the HEC will save the Company site
 23 development costs the Company otherwise would have incurred. As a result, the

1 Company and its ratepayers will save additional engineering and construction costs
2 by locating Hines 2 at the HEC.

3
4 **IV. DESCRIPTION OF THE HINES 2 UNIT.**

5
6 **Q. Please describe the proposed design of the Hines 2 unit.**

7 **A.** The Hines 2 unit is a state-of-the-art combined cycle unit similar to the Hines 1 unit.
8 It consists of two nominal 170 MW Westinghouse 501 F combustion turbines, two
9 unfired heat recovery steam generators, one nominal 190 MW steam turbine, and a
10 recirculating water cooling system. It is a dual-fuel generation system, meaning that
11 the combustion turbines can be operated on natural gas or distillate oil. For Hines 2,
12 natural gas is the primary fuel, and low sulfur (0.05 percent) distillate oil is the
13 planned backup fuel.

14 The dual-fueled combustion turbines and steam turbine for the Hines 2 unit
15 are configured in sequential stages, as shown in the typical schematic for a
16 combined cycle unit in Exhibit ___ (EGM-4). The first stage includes the
17 combustion turbines, much like utility peaking units, which generate electrical
18 energy. In the second stage of the process, the hot gas from the combustion turbines
19 is passed through the heat recovery steam generator, where steam is produced and
20 fed into the steam turbine to generate additional electrical energy — hence, the term
21 “combined cycle” generation technology.

1 Q. Are there advantages to combined cycle technology for the Company?

2 A. Yes.

3

4 Q. What are those advantages?

5 A. The combined cycle generation technology is very efficient because it generates
6 electrical energy from the input fuel both directly, through the combustion turbines,
7 and indirectly, through the heat recovery steam generator and steam turbine. Further
8 flexibility exists through the use of reheat configurations. By reheating extracted
9 steam, additional improvements in cycle efficiency can be achieved. In all of these
10 ways, combined cycle technology makes the most of the input fuel, achieving
11 increased efficiency in the generation of electrical energy from the available fuel
12 source. For these reasons, the modern combined cycle power plant is one of the
13 most efficient power cycles available today.

14 Another advantage of the combined cycle design is that it allows for greater
15 flexibility in matching system operating characteristics over time. Because of its
16 technological efficiency, it can readily be called on to meet varying operational load
17 requirements in an economical manner. Thus, the Hines 2 combined cycle unit can
18 function as a baseload or intermediate unit, if required by the Company's system.

19 In addition to its high efficiency, the Hines 2 unit will have a low
20 environmental impact. Combined cycle units operating on natural gas, like the
21 Hines 2 unit, are one of the cleanest sources of fossil generation. Flue gas is the
22 only byproduct of the combustion process, whether burning natural gas or distillate
23 oil, that leaves the HEC. Both are low sulfur, low ash fuels. Thus, sulfur and

1 particulate emissions are virtually nonexistent. Nitrogen oxides will be controlled
2 by selective catalytic reduction. Airborne emissions therefore will be limited by the
3 use of a relatively clean fuel and the appropriate application of control technologies.

4 Consumptive water use will be significantly lower than traditional steam
5 turbine cycles, requiring approximately one-third the amount of water used by a
6 steam only cycle. For these reasons, the combined cycle technology of Hines 2 is a
7 relatively benign one in terms of its impact on the environment.

8
9 **Q. How will fuel be provided and handled for the Hines 2 unit?**

10 **A.** As noted above, Hines 2 is designed to operate on natural gas as a primary fuel with
11 fuel oil as the backup fuel. Natural gas will be delivered by pipeline to the HEC.
12 The existing gas lateral at the HEC is sufficient to supply the Hines 2 unit. No
13 additional gas lateral is necessary at the HEC.

14 Additionally, there currently is onsite storage for the distillate oil, providing
15 sufficient storage capabilities to operate Hines 1 and 2 for approximately three (3)
16 days of continuous unit operation at full load on the backup fuel. No additional
17 storage facilities for the backup fuel are necessary for the Hines 2 unit. The
18 distillate oil for the Hines 2 unit will be delivered to the HEC by tanker trucks. The
19 Hines 2 unit will be capable of automatically switching from natural gas to distillate
20 oil firing without shutdown.

21
22
23

1 Q. How does the Company plan to construct the Hines 2 unit?

2 A. FPC will maintain direct overall management of the project, including participation
3 in construction management functions, by having a substantial presence onsite
4 during the construction and startup phase. FPC may elect to competitively select
5 equipment suppliers, the architect/engineering ("A/E") firm, and the constructors, or
6 the Company may opt to contract for a design-build turnkey approach. The exact
7 method will be evaluated considering the competitive market while minimizing the
8 Company's risk. In either case, the beneficial option pricing for the power island
9 equipment would still be exercised.

10

11 Q. What will it cost the Company to build Hines 2?

12 A. The total installed cost for the Hines 2 unit is approximately \$203.2 million
13 (including transmission costs), in actual dollars, as shown in Exhibit ____, (EGM-
14 5). This cost was developed on the basis of the Polk Combined Cycle Project
15 Specifications (with minimal revisions) and option contracts originally negotiated in
16 1996. A breakdown of the major cost items for the Hines 2 unit is also included in
17 Exhibit ____, (EGM-5).

18 The project cost for Hines 2 reflects significant savings compared to the
19 current competitive generation market for equivalent combined cycle technology.
20 The savings were obtained because the Company was able to (i) negotiate and
21 preserve beneficial equipment pricing and other favorable contract terms and
22 conditions (for example, performance guarantees and liquidated damages
23 provisions) from its major equipment supplier(s), thus reducing its capital costs

1 compared to current market costs for the same equipment and (ii) share common site
2 utilities and facilities with the Hines 1 unit, thus reducing or eliminating site
3 development and construction costs and associated facilities costs the Company
4 would have otherwise incurred.

5

6

7 **Q. What will it cost the Company to operate the Hines 2 unit?**

8 **A.** The estimated annual fixed Operating and Maintenance ("O&M") costs are \$2.2
9 million (in 2003) dollars, and the estimated variable O&M is \$1.11/MWh (also in
10 2003 dollars). The O&M cost estimates are based on a unit life of 25 years. For the
11 fixed O&M analysis, it was assumed that fixed costs will remain constant in real
12 dollars over the life of the plant. Fixed O&M costs are those costs that are incurred
13 whether the unit is operating or not. The largest fixed costs for the Hines 2 unit are
14 wages and wage-related overheads for the permanent plant staff. Variable O&M
15 costs are a function of the unit's operation. They include consumables, chemicals,
16 lubricants, water, and maintenance repair parts.

17

18 **Q. When Hines 2 is constructed and in operation, what will be its operational
19 characteristics?**

20 **A.** As noted above, Hines 2 will have state-of-the-art combined cycle technology. As a
21 result, it will be a highly efficient unit with an excellent heat rate, operating on
22 average at a net heat rate of 6,975 Btu/kWh. The Hines 2 unit will have an
23 equivalent availability factor of approximately 94 percent, which takes into account

1 a 4 percent forced outage rate and all scheduled maintenance outages. Hines 2 is
2 expected to have a capacity factor range of roughly 55 percent to 65 percent. Upon
3 construction and operation, Hines 2 will be the most efficient unit on the Company's
4 system.

5
6 **V. PROPOSED SCHEDULE.**
7

8 **Q. What is the in-service date for the Hines 2 unit?**

9 **A.** Hines 2 is scheduled to come on line by November 30, 2003.
10

11 **Q. Will the Company meet that in-service date?**

12 **A.** Yes, barring any unforeseen and significant delays. The proposed schedule for the
13 permitting and construction of the Hines 2 unit is contained in Exhibit ____, (EGM-
14 6). In my opinion, this schedule is reasonable and can be met by the Company.
15

16 **Q. Does this conclude your direct testimony?**

17 **A.** Yes.
18
19
20

1 MR. WALLS: And Mr. Chairman, I would like to
2 ask that Mr. Major's exhibits numbered EGM-1 through EGM-6
3 be marked as composite Exhibit Number 15.

4 COMMISSIONER JACOBS: Show those marked as
5 Exhibit 15.

6 (Exhibit 15 marked for identification.)

7 BY MR. WALLS:

8 Q Mr. Major, have you prepared a summary of your
9 testimony?

10 A Yes, I have.

11 Q Would you present it to the Commission, please?

12 A Sure. The company plans to build Hines 2 at the
13 Hines energy complex, its existing generation site in Polk
14 County, Florida. This site contains the Hines 1 combined
15 cycle unit in its associated facilities.

16 In 1994, Hines was certified for the
17 construction and operation of the Hines 1 Unit and for
18 3,000 megawatts of ultimate generation capacity at the
19 site. Hines 2 will account for another 530 megawatts of
20 nominal capacity at the site, and it will share many of
21 the existing facilities with Hines 1. The ability to
22 share facilities at the site adds to the
23 cost-effectiveness of the Hines 2 Unit.

24 Both the company and its ratepayers will capture
25 cost savings associated with the economies of scale

1 achieved from using the existing facilities for the
2 operation of both the Hines 1 and the Hines 2 Units.

3 I like to describe Hines 2 as a sister unit to
4 Hines 1. It is a state-of-the-art, highly-efficient
5 combined cycle unit that will operate on natural gas with
6 distillate oil as the back-up fuel. Its beneficial heat
7 rate, availability and responsiveness, among other
8 attributes, provide the company with a low-cost,
9 highly-flexible source of power.

10 Hines 2 enhances the overall operation and
11 efficiency of the company's system to the direct economic
12 benefit of the company and its ratepayers. The company
13 and its ratepayers will further benefit from a below
14 market cost for the unit.

15 The projected cost for Hines 2 is approximately
16 \$198 million, which is below the current market cost for
17 equivalent units. We were able to achieve this, because
18 the company has preserved its previously negotiated
19 favorable equipment terms.

20 In summary, Hines 2 allows the company to meet
21 its reliability needs with the most efficient and
22 sought-after technology on the market at a below-market
23 cost giving the company and its ratepayers substantial
24 economic benefits in terms of technology, efficiency,
25 flexibility, and operation and cost of generating power.

1 MR. WALLS: Mr. Chairman, we tender Mr. Major
2 for cross examination.

3 COMMISSIONER JACOBS: Ms. Brownless.

4 CROSS EXAMINATION

5 BY MS. BROWNLESS:

6 Q Good afternoon, Mr. Major, how are you?

7 A Fine.

8 Q I'd like to ask a question to start with about
9 the schedule that you have attached as Exhibit Number 6.

10 A Yes, ma'am.

11 Q And just so this is on the record, there is an
12 indication on the bottom right-hand corner that this is a
13 confidential exhibit, but I am assuming that because it's
14 in your prefiled direct testimony you're not asserting
15 confidentiality as to this exhibit?

16 A That is correct.

17 Q Okay. So, it's fine for us to talk about this
18 and ask questions about it; is that correct?

19 A Yes.

20 Q Okay. I want to ask about the very first block
21 up here. It says "Corporate Decision." And I see that
22 that has a little triangle at, what I take it, is the end
23 of December of the year 1999; is that correct?

24 A That's what the chart says, yes.

25 Q Then, I also see RFPs and responses on the next

1 line -- or actually the line you've labeled number 3 --

2 A That is correct.

3 Q -- end in, let's see, March; is that correct,
4 2000?

5 A That is correct.

6 Q RFP analysis and negotiation end in May of 2000?

7 A That is correct.

8 Q Need preparation begin in May of 2000. I'm
9 looking at Line 6.

10 A Yeah, mine shows June 1st for the dark line.

11 Q What does the blue line prior to that mean, you
12 know, the light blue line?

13 A For this entire -- I can speak to the
14 construction and design activities. Those are some
15 preliminary activities. And it also shows some select
16 time that was covered in the schedule.

17 Q Well, let me ask this question. You don't know
18 what was happening between January of 2000 and the end of
19 May 2000 with regard to need preparation?

20 A No, I have general knowledge that need
21 preparation was in process.

22 Q And that would be need preparation with the
23 Hines Unit 2 unit, correct?

24 A No, it was need prep -- well --

25 Q I mean, it would involve Hines Unit 2, right?

1 A It was preparation for added capacity that the
2 planners had determined was needed in a certain time
3 frame.

4 Q Okay. All right. But the data preparation
5 would have been applicable for -- well, let me ask this.

6 The data preparation in that time period
7 included data that was associated with Hines Unit 2?

8 A Yes, ma'am.

9 Q Thank you.

10 You're indicating need approval and review by
11 the PSC from, what is this, August 1st through the end of
12 December; is that correct?

13 A That is correct.

14 Q What do these little triangles mean? When
15 there's a triangle there, what does that mean?

16 MR. WALLS: Let me object to the form of the
17 question.

18 BY MS. BROWNLESS:

19 Q There is a little triangle at the end of line
20 number 7. What does that symbol symbolize there, signify
21 there?

22 COMMISSIONER JACOBS: We'll allow that. That
23 sounds reasonable enough.

24 A Well, I can't answer that question. I don't
25 have knowledge of specifically in the preliminary

1 activities what that highlights. I know on the
2 construction side those symbols highlight some key
3 activities.

4 BY MS. BROWNLESS:

5 Q That must be completed by that time?

6 A That occur in that time, that are projected to
7 occur in that time frame.

8 COMMISSIONER JABER: May I -- I was trying to
9 understand this schedule, too, because there's no legend.

10 THE WITNESS: Yes.

11 COMMISSIONER JABER: Help me understand what the
12 significance is between the shading and the color. You
13 know, what does the light blue mean in the chart? What
14 does the dark blue mean in the chart? What does --
15 there's no legend on this schedule. What do the stars
16 mean? What do the triangles mean?

17 THE WITNESS: On the triangles and the stars,
18 the triangles are complete dates for completed activities.
19 The stars -- I can only comment on the stars in the bottom
20 half of the chart beginning with activity 22, which are
21 areas that I'm directly accountable for. And the two
22 stars of their construction and start-up, those are based
23 on combustion turbine projected delivery dates. The last
24 star under that activity is commercial operation date.

25 MS. BROWNLESS: Are you finished, Commissioner?

1 COMMISSIONER JABER: (Inaudible response.)

2 BY MS. BROWNLESS:

3 Q I'm now looking at the two stars that are right
4 above Line 26, I guess, construction and start-up?

5 A Yes.

6 Q And those correlate to March and April of this
7 year, I take it?

8 A March and April of 2003.

9 Q Okay. What do those stars mean?

10 A As I had mentioned, those are the projected --
11 the delivery dates for the first and second combustion
12 turbine for Hines power block 2.

13 Q What about the heat recovery steam unit?

14 A Those will be delivered in advance of the
15 combustion turbines, as will the steam turbine.

16 Q And do you have that on here somewhere?

17 A No, we do not.

18 Q When would that be?

19 A I don't have exact dates available with me
20 today. We do have a construction schedule on those, but
21 those are well in advance. I believe that they start
22 coming in toward the mid part of 2002.

23 Q Okay, that would be May or June, maybe?

24 A I'd have to check our detailed schedule to be
25 exact, but in that general time frame.

1 Q Okay. And that's the steam heat recovery unit.
2 And what else did you just tell me?

3 A The steam turbine which would, I believe, come
4 in the latter part of 2002.

5 Q Okay. So, the steam turbine comes in toward the
6 end of 2002?

7 A I believe, that's correct.

8 Q And the heat recovery unit comes in, in sort of
9 the middle of 2002?

10 A I would say the start of the delivery on the
11 heat recovery steam generators would be around the middle
12 of 2002.

13 Q So, then, in terms of equipment, the last
14 equipment delivery date are what's indicated by the two
15 stars here, and that's for the CTEs?

16 A Yeah, of the major components for the power
17 block. And there'll, of course, be some incidental
18 equipment that will arrive after those, but in terms of
19 the main equipment, that would be it.

20 Q So, that would be the last date by which the
21 main equipment associated with the Siemens Westinghouse
22 contract would be delivered?

23 A That is correct.

24 Q In your section that you're responsible for,
25 items 22 through 27, what do the shaded blue areas mean?

1 A Well, in reality, there's really not much
2 distinction between the shading in the schedule for our
3 area. The shaded blue areas are when the chart was
4 prepared we anticipated activity being ongoing for some of
5 those activities.

6 Q The triangle that's shown in conjunction with
7 Line 26, that's about at the 1st of November in 2001, what
8 is that related to? What event does that signify?

9 A Originally, when this chart was prepared, that
10 was anticipated as probably the earliest construction
11 start date that we would have for Hines power block 2.
12 This has subsequently been revised, and there is now a
13 later date.

14 Q What is the later date?

15 A We anticipate moving on to site first quarter of
16 2002.

17 Q Anytime in the first quarter from January to
18 March?

19 A A date has not been determined.

20 Q What was the reason for that being moved?

21 A To minimize the time on site and to pretty much
22 line up with a similar schedule that we built Hines 1
23 under and minimize the administrative time and the
24 construction overheads by utilizing contractors and
25 resources longer than they needed to be utilized.

1 Q Okay. What does this little blue line here on
2 Line 24, pre-construction and engineering, what is that
3 all about? What activities are entailed in there?

4 A Okay. The first blue line, the earlier line
5 which is in the year 2000, that's some preliminary
6 engineering that involved supporting negotiations in
7 developing the complete technical spec for the equipment
8 supply. So, that was support to wrap up the final
9 technical features of the Westinghouse contract. And
10 then, the latter schedule line in 2001 is the actual
11 engineering for detailed engineering for the project.

12 Q So, this activity that's taking place in 2001
13 would be preparation of the as-built plans and all that
14 stuff?

15 A Well, the preparation for the actual plans.

16 Q That's what I'm saying.

17 A Yes.

18 Q The actual plans that you would, for example,
19 take to a permitting agency and say, "This is exactly what
20 I'm going to build."

21 A Well, the plans and the details that go to the
22 permitting agencies have -- they get done earlier in the
23 process. The detail engineering is -- that's how the
24 project is going to be built and what the contractor
25 builds the facility to.

1 Q I think, we're talking about exactly the same
2 thing. And I'm going to try to analogize this to houses,
3 because I know about that. These would be the blueprints
4 that you would give to your contractor so that he could
5 actually do what he needs to do to construct your house,
6 correct?

7 A That's correct.

8 Q Now, the little triangle that ends, let's see
9 here, August 31st or September 1st, that's associated with
10 negotiating the Westinghouse contract, what do you have in
11 mind there?

12 A When this schedule was prepared, that was the
13 date that we had an expectation of having a complete
14 contract for Hines 2 with Siemens Westinghouse.

15 Q And what do you mean by complete contract?

16 A When I say complete, an executed contract.

17 Q Now, you've testified that you have a commitment
18 from Siemens Westinghouse regarding certain -- regarding
19 the 501-F unit; is that correct?

20 A That is correct.

21 Q Okay. What is the relationship between that
22 commitment and this detailed contract?

23 A The commitment is a reservation of production
24 slots to assure that the power block equipment can be
25 delivered in time to meet our commercial operations. And

1 that stems from an option agreement that we had in the
2 Hines 1 contract for additional units out into the future
3 for commercial operation through 2003.

4 So, in today's marketplace, with lead times on
5 combustion turbines being as far out as four years, any
6 developer or utility can't wait until all approvals are in
7 hand to construct a facility. They must reserve
8 production slots and put some dollars at risk to assure
9 they'll have equipment to go forward with the project.

10 Q I want to make sure I understand what you're
11 saying. My impression is that Siemens Westinghouse can
12 only produce so many of these units per year; is that
13 correct?

14 A They have a limitation.

15 Q Yeah, they have a limitation on the number of
16 units per year that they can produce.

17 A That's correct.

18 Q Okay. And hence, and I don't know what that
19 limit is, but for purposes of illustration here, I'm going
20 to say it's 100 units. I mean, I don't know if that's
21 right or not, I'm just using that.

22 So, if I understand what you're telling me,
23 you're saying that if you were to -- if Power Corp. were
24 to go to Siemens Westinghouse today, Siemens Westinghouse
25 doesn't have units on the shelf that it can just hand to

1 you; is that correct?

2 A That is correct.

3 Q And I assume that the reason these units are
4 reserved and optioned in advance is because it takes
5 Siemens Westinghouse a considerable amount of production
6 time to produce these units.

7 A Yes. And let me try to explain the option a
8 little further, which I don't think would violate any
9 confidentiality.

10 We had options for additional units, but there
11 were also some terms that were there. Like, we had
12 options to units provided that there were available
13 production slots at the time that we advised Westinghouse
14 that we were going to exercise the option.

15 Q And was there a time limit in this option
16 agreement that said you must tell us by "X" date if you
17 want this unit?

18 A There was not a specific time limit in the
19 contract, but what it required us to do was continually
20 monitor what the lead times of Westinghouse turbines were
21 so that we could get them noticed far enough in advance to
22 meet projected needs, if we had any.

23 Q And you also had to try to monitor whether there
24 were available production slots at the time you made that
25 request, correct?

1 A That is correct.

2 Q Did you apply this -- well, let me ask this
3 question: Do you know how long it takes Siemens
4 Westinghouse to produce one of these units?

5 A I do not specifically know that, no.

6 Q Okay. So, in any year in which they had 100
7 units, and they had one production slot available for that
8 year, okay, because that's when you'd be making --
9 exercising your option and saying, okay, I'm exercising my
10 option, I want one unit, and they'd say, okay, we have a
11 production slot available for that year, correct?

12 A Well, in reality, it was -- we would ask what
13 the earliest available production slots would be.

14 Q Okay.

15 A Like, in today's marketplace, you're probably
16 looking at not being able to get deliveries until late in
17 2003 or early in 2004, if you committed for a production
18 slot today.

19 Q Okay.

20 A And they're fully booked throughout that time
21 frame, as is GE and other combustion turbine members.

22 Q All right. When did Florida Power Corporation
23 feel, based upon your knowledge of available slots and
24 your own needs, was the drop-dead date by which you needed
25 to notify Siemens Westinghouse that you, in fact, wanted a

1 unit?

2 A For this most recent Hines 2?

3 Q For this, Hines 2.

4 A As I recall, there were planning studies that
5 went on in the mid to latter part of 1999 that identified
6 a potential need for added capacity. Florida Power had
7 previously reserved a production slot for a Hines unit
8 that we had requested the bid waiver on for an in-service
9 in November of 2001 --

10 Q So, let me make sure I understand that.

11 A -- which --

12 Q You'd already told Seimens Westinghouse, please,
13 hold that unit for me, I want that unit. And you did that
14 in order to keep this equipment available so that you
15 could put it into service in 2001, which is what you told
16 the PSC you wanted to do.

17 A The original --

18 Q The original --

19 A -- option exercise had reserved a production
20 slot. There was a down payment associated with that.

21 Q How much was that down payment?

22 A That's covered under the confidentiality.

23 MS. BROWNLESS: Let me just pass out some
24 exhibits.

25 MS. HART: Mr. Chairman?

1 COMMISSIONER JACOBS: Yes.

2 MS. HART: I'd just like to point out that this
3 is part of our composite Exhibit 6.

4 COMMISSIONER JACOBS: Okay. So, you don't need
5 to mark this separately?

6 MS. BROWNLESS: No.

7 COMMISSIONER JACOBS: Okay.

8 BY MS. BROWNLESS:

9 Q Mr. Major, can you look at this exhibit, please.

10 A Yes.

11 Q Okay. Are you familiar with this exhibit?

12 A No, I'm not.

13 Q Well, let me ask you to look at the fourth
14 bullet point?

15 A Okay.

16 Q And it has a number there?

17 A Yes.

18 Q Okay. Is that the down payment or deposit that
19 was made on the unit you've just described?

20 A That is, yes.

21 Q And that was made in 1998?

22 A That is correct.

23 Q With regard to that unit, the -- I'll call it
24 the 1998 unit so we don't get confused here, that first
25 unit, were production payments required -- progressive

1 production payments required to be made? By that, I mean,
2 installment payments to Seimens Westinghouse?

3 A Yes. There was a schedule for progress
4 payments.

5 Q Progress payments. And do you know, pursuant to
6 that schedule, whether those progress payments were made?

7 A There were no other payments made beyond this
8 one that is listed under bullet 4.

9 Q And that would be with regard to the first unit;
10 is that correct, the unit associated with the 1998 bid?

11 A That's correct.

12 Q Okay. Do you still have the ability to have
13 access to that unit?

14 A No, ma'am, we do not.

15 Q Okay. What happened to the money listed here
16 associated with that unit?

17 A Through negotiations with Seimens Westinghouse,
18 the latter part of 1999, we had that payment applied to
19 production slots for what we're now calling power block 2,
20 Hines 2.

21 Q Okay. Now, those negotiations with
22 Westinghouse, were they subsequent to the date of this
23 exhibit?

24 A Yes. The date of this exhibit?

25 Q At the top right-hand corner?

1 A I think, the negotiations were ongoing around
2 this time.

3 Q Okay. So, they were either concurrent, perhaps?

4 A Well, they were ongoing at that time.

5 Q Yeah, they were taking place concurrently at
6 this date. Okay.

7 At the very bottom, there is a statement, okay?
8 Was that date met? It's in that little blurb at the
9 bottom.

10 A No, that date was not met. There were
11 continuing negotiations going on at that time and for most
12 of this year up until just recently.

13 Q Okay. So, you started negotiating with Seimens
14 Westinghouse in the fall of '99, correct?

15 A Fall to winter, late in '99.

16 Q And you kept negotiating with them until when?

17 A Well, in reality, until maybe six or eight weeks
18 ago.

19 Q And this negotiation would be associated with a
20 revision of your original Hines Unit 1 contract?

21 A Yeah. The negotiations were to incorporate
22 lessons learned from Hines 1 in terms of incorporating
23 some technical features that we deem more desirable,
24 commercial terms. The contract also includes some other
25 pieces of equipment beyond the combustion turbines and

1 some negotiations about those specifications. It included
2 a variety of technical and commercial issues.

3 Q In the give and take of that negotiation, did
4 you lose the ability to get two combustion turbines under
5 your option rather than one?

6 A When you say two combustion turbines --

7 Q I mean, two combined cycles, two 501 power
8 blocks.

9 A Well, as a result of the final negotiations that
10 were developed, there was a cut-off date in terms of how
11 long that option would be in place for. And that was for
12 units in commercial operation through 2003.

13 Q That was the original option, correct?

14 A That is correct.

15 Q And that original option let you have access to
16 two power blocks, correct?

17 A Now, that original option, in actuality, did not
18 limit the number of power blocks.

19 Q Oh. So, you could have had as many as you could
20 get slots for?

21 A Yes.

22 Q Okay. When did you, specifically, lose the
23 ability under that option to exercise it for as many as
24 you wished?

25 A I think, we lost that ability by default when

1 their lead times exceeded the ability to achieve
2 commercial operations by 2003.

3 Q And give me a date.

4 A That would have been sometime in the mid,
5 probably mid year.

6 Q Of what year?

7 A Of this year.

8 Q 2000?

9 A Yeah.

10 Q So, essentially, whatever units you had not
11 requested a slot for by the middle of this year were lost
12 to you?

13 A Well, they weren't lost, because we never had
14 them.

15 Q Well, that's what I'm saying. I mean, you
16 just --

17 A Yeah.

18 Q The money that was on deposit with Seimens
19 Westinghouse, if you did not ultimately make progress
20 payments and ultimately take delivery of that unit, would
21 you have forfeited all that money?

22 A I think, the outcome of that would have been
23 subject to negotiations. There is a risk that we might
24 have forfeited that.

25 Q I'm looking now at the confidential exhibit.

1 And the .3 there about what would happen in case of
2 forfeiture, your testimony is that the worst case would be
3 that the entire amount would be forfeited?

4 MR. WALLS: Could I just interpose an objection
5 to clarify that you're talking about the third point under
6 the fourth bullet point.

7 MS. BROWNLESS: Oh, yes, sir. Thank you, I'm
8 sorry.

9 BY MS. BROWNLESS:

10 Q Let me rephrase my question.

11 Is the worst-case option that could have
12 happened, if you didn't go forward with regard to
13 purchasing your 1998 unit, that you would have lost the
14 money shown on this schedule, the complete amount?

15 A Well, are you talking about the 1998 unit?
16 Because we didn't purchase that specific unit.

17 (PAGE 452 IS CONTAINED IN A SEPARATE CONFIDENTIAL
18 TRANSCRIPT.)

19

20

21

22

23

24

25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1 Q And completely?

2 A That's absolute worst case.

3 COMMISSIONER JACOBS: Counsel, I think, you may
4 want to be a little bit more careful in your questioning.

5 MS. BROWNLESS: I'm sorry. Excuse me.

6 MR. WALLS: Can we move to strike that statement
7 in her question?

8 MS. BROWNLESS: Sure.

9 COMMISSIONER JACOBS: We can.

10 BY MS. BROWNLESS:

11 Q Then, let me re-ask my question. I promise to
12 be correct here.

13 With regard to the dollar amount that's
14 indicated in the last bullet point, is the worst-case
15 scenario for Florida Power Corporation, if it did not, in
16 fact, purchase the unit, the total dollar amount shown
17 there?

18 A Yes.

19 Q Forfeiture of the total amount shown there,
20 that's the worst case?

21 A Worst case.

22 Q Yeah. Could you turn to the second page of this
23 exhibit, please? Before I go to the second page, I just
24 have one other question concerning that fourth bullet
25 point.

1 That was the assessment of Florida Power
2 Corporation on the date of this memo, correct? Everything
3 that's stated in this memo is what Florida Power
4 Corporation believed on the date of the memo; is that
5 correct?

6 MR. WALLS: Let me object to that question. She
7 hasn't established that this witness has any knowledge of
8 this document. I believe, he's already testified that he
9 did not.

10 COMMISSIONER JACOBS: I believe he did,
11 Ms. Brownless.

12 MS. BROWNLESS: Thank you.

13 BY MS. BROWNLESS:

14 Q Are you familiar with any of the information
15 contained on the second page of this document?

16 A I think, in terms of factual information about
17 the arrangement that we had with the vendor, yes.

18 Q If you look at the bottom right-hand corner,
19 with regard to -- and now, I'm talking about the far
20 right-hand corner block, okay?

21 A On page --

22 Q On the second page. And it's got four blocks of
23 material, right?

24 A That's on my third page.

25 Q Oh, okay. I'm sorry. It's FPC 297 on the

1 bottom right-hand --

2 A I'm there.

3 Q Okay. Now, I'm going to look at the far
4 right-hand --

5 A Yes.

6 Q -- block of information.

7 A Yes.

8 Q Do you agree with bullet points two and three
9 that that's accurate?

10 A Bullet point one is actually -- that's a
11 planning decision.

12 Q I didn't ask about one.

13 A Okay.

14 Q I asked about two and three.

15 A Yeah, two and three are factual.

16 Q Okay. And looking at the block that's in the
17 upper left-hand corner --

18 A Yes.

19 Q -- with regard to bullet points one and two, do
20 you agree with that information?

21 A Yes, I, generally, agree.

22 Q Okay. And the first little blurb there, the
23 dollar figure that's in that first blurb --

24 A Yes.

25 Q -- that would be the difference between a 501-F

1 power block at today's prices versus the price that you
2 had the option for?

3 A And when I say I generally agree, I think,
4 there's a range of dollars that we typically reference.
5 I'm not sure that I would agree that that's the exact
6 amount, but it's certainly well within that range.

7 Q Okay. And the difference is what you could
8 purchase at fair market prices today versus what your
9 option allowed you to purchase?

10 A Yeah. It includes the equipment cost as well as
11 payment terms and commercial terms, such as liquidated
12 damages, and those types of considerations.

13 Q Okay. You may or may not be familiar with this,
14 Mr. Major; and if you are, great, and if you're not, let
15 me know. I'm looking at FPC 298, that's what the number
16 says in the lower right-hand page. Do you have that page?

17 A I've got this. I'm not familiar with the
18 details of this document.

19 Q Well, can I just point you to -- in the second
20 little block number 4 and ask you what is meant by that
21 statement, if you know. This question was referred to you
22 by Mr. Crisp. That's why I'm asking.

23 A Number 4?

24 Q Uh-huh.

25 MR. WALLS: Let me object. I believe, that's

1 incorrect with respect to item number 4 in that block.

2 A Yeah. Number 4 would not be in my area of
3 expertise.

4 BY MS. BROWNLESS:

5 Q Okay. So, you don't know whether this is true
6 or not?

7 A I do not know if that's true or not.

8 Q Would you have any knowledge of number 5 in that
9 same group of numbers?

10 A I would not.

11 Q Number 7, would you have any knowledge of that?

12 A Would not.

13 Q I'm looking now in the next block of
14 information. On the right-hand side, unfortunately, both
15 are numbered 1 through 7, but this little block, the first
16 word starts with a "P." Are you with me?

17 A Yes, I believe so.

18 Q Do you agree with point number 6 with regard to
19 the reference to Westinghouse?

20 A Yes, I would agree with that.

21 Q Okay, all right. We've previously moved into
22 evidence and marked as Exhibit 6 -- do you have access to
23 that exhibit? This would have been the portion of the
24 Need Study associated with Panda's -- the nonprice
25 evaluation of Panda's response of Section 7.

1 A I do not have that with me.

2 Q Okay. This is part of Exhibit Number 5,
3 Mr. Crisp's testimony. It's the confidential section list
4 of appendix items, and we had waived confidentiality with
5 regard to item number 7, which is the evaluation of
6 Panda's bid.

7 MR. WALLS: You're just referring to that part
8 of the exhibit?

9 MS. BROWNLESS: Yes, sir, that's all.

10 BY MS. BROWNLESS:

11 Q It says, "confidential section list of appendix
12 items, portion number 7, confidential FPC nonprice
13 evaluation of Panda's bid response." Do you see that,
14 Mr. Major?

15 A Is there a page number?

16 Q Well, my copy -- well, let me show it to you,
17 maybe that would help. It's this. Is that it?

18 A Okay, yeah.

19 Q This gives a certain dollar value for a progress
20 payment to be made --

21 MR. WALLS: Excuse me. Could I interpose an
22 objection here. On that number, that is not a Panda
23 number. That's our number. And we'd like to preserve the
24 confidentiality of that number.

25 MS. BROWNLESS: I just said that number. I

1 didn't say the number.

2 COMMISSIONER JACOBS: We agree that it's
3 confidential, though.

4 MS. BROWNLESS: That's fine.

5 BY MS. BROWNLESS:

6 Q I want to refer you to where it says, "Bidder's
7 ability to perform and financial impact."

8 A Yes.

9 Q Okay. With regard to the number that's shown
10 there, do you see it at the very bottom?

11 A Yes.

12 Q Okay. When was that progress payment to Seimens
13 Westinghouse due to be made?

14 A Well, there was an initial payment that we had
15 previously discussed --

16 Q Right.

17 A -- okay, that had been made, and then there's a
18 progress payment that is in the July of 2001. And the
19 total of the two payments approximate that number.

20 Q Okay. So, this would be associated only with
21 one power block unit, the combination of the numbers that
22 you just discussed?

23 A Yes.

24 Q As someone familiar with generation technology,
25 would you agree that a GEF -- let me say this correctly.

1 GE7FA technology is roughly equivalent to 501-F Seimens
2 Westinghouse technology?

3 A I would say, roughly equivalent, and from the
4 last evaluation that we did comparing the two units there
5 were slight differences in terms of Westinghouse having
6 some added capacity and a slightly better heat rate. But
7 in general terms, they're quite comparable.

8 Q They're competitors for the same market.

9 A They're competitors.

10 Q I want to look at going back to your self-build
11 options schedule, your exhibit. On Line 22, initial
12 commitment, commitment date, you have a star by that. And
13 what does that signify?

14 A Yes.

15 Q What does that mean?

16 A That was when we felt we had assurances that we
17 had a reserve production slot for the units.

18 Q Is that the date by which you had to tell
19 Seimens Westinghouse you wanted the unit in order to make
20 sure for sure you got it?

21 A Well, that was the date through negotiations we
22 expected to have Westinghouse's commitment that they could
23 deliver a unit to support the 2003 Hines 2 Unit.

24 Q And until you knew that information from Seimens
25 Westinghouse, you couldn't exercise your option with

1 regard to it, could you?

2 A Well, by that time, we had already had a
3 reservation fee. So, I'm not sure the -- that was --
4 again, that was the point in negotiations when we had
5 their verbal commitment that they would reserve production
6 slots for the time frames that we needed.

7 Q And was that also the point and time in which
8 you said, yes, indeed, we want this unit?

9 A That was the point and time that we said we
10 wanted those production slots.

11 Q And by implication, the unit?

12 A By implication, certainly.

13 Q Can I refer you to Staff production of documents
14 response number 9, please? Do you have that available to
15 you?

16 A I do not have that available.

17 Q The title at the top is "Supply-side
18 Alternatives."

19 A Yes.

20 Q Okay. I'm looking now on what's been labeled at
21 the bottom right-hand side FPC 301.

22 A 301?

23 Q Yes, sir.

24 A Yes.

25 Q And it talks about certain Westinghouse

1 generating alternatives; is that correct, identifies
2 certain alternatives?

3 A Yes.

4 Q 501-FC, a 501-F, a 501-G.

5 A Yes.

6 Q And it references certain tables for the 501-FC
7 which is the Hines number 2 unit, it references tables 28
8 and 29, correct?

9 A Correct.

10 Q And for the -- okay. So, if I turn to the next
11 page, FPC 302, and I look at table 28, the price that's
12 given there, the total capital cost in 1999 dollars would
13 be the very first price, that would be the appropriate
14 price to associate with that unit?

15 A Yes. These numbers were prepared by a
16 consultant for our planning group, but I would concur that
17 that's a reasonable number.

18 Q Okay. And if I turn to FPC 306 and I look at
19 table number 30 where it says, "Total capital cost 1999
20 dollars," the number that appears there would be
21 associated with a similar 501-FC unit you ordered today at
22 today's prices?

23 A I would say that number is certainly in that
24 range.

25 Q Okay. So, the difference, the actual total

1 capital cost savings difference would be the difference
2 between those two numbers, between the first chart that
3 showed your actual -- your price?

4 A Yeah. The purchase price difference would be
5 that. And then, I had mentioned there may be other
6 contract terms that could have monetary value as well,
7 but --

8 Q But it would at least be the difference in those
9 two numbers.

10 A Yes.

11 Q And if I look on those same charts and look
12 where it says, "Total capital cost in 1999 dollars per
13 kW," the comparison on line 2 would be an equal comparison
14 between Line 2 of table 30 and Line 2 of table 28?

15 A Yes.

16 Q Okay. And, I think, that is -- that would be
17 the difference in the total capital cost in dollars per
18 kilowatt, correct?

19 A For what they were comparing, yes.

20 Q Okay.

21 MS. HART: If I could interrupt for a moment.

22 Are you finished with that? I'm sorry, never mind. That
23 was not confidential material; is that right?

24 MS. BROWNLESS: No.

25 MR. WALLS: That one was not.

1 BY MS. BROWNLESS:

2 Q Well, okay. Then, I can just ask you, that
3 difference is about \$40 million, the difference in total
4 capital cost between your option and what would be
5 available on the market today?

6 A Are you looking at table 28 and table 30?

7 Q Yeah. I'm looking at total capital cost 1999
8 dollars per kW, the difference between table 28 --

9 A My --

10 Q -- and table --

11 A My math may be off. I show \$21 million.

12 Q Now, we're not talking about total capital
13 cost --

14 A Oh, okay.

15 Q The first line.

16 A Well, yeah. On a dollar per kW basis, yes, \$40,
17 \$40 per kW.

18 Q Okay. So, that's -- when you subtract the
19 numbers out, it comes out to \$39 million -- I mean, \$39,
20 but 40, 39, that's in the ballpark, right?

21 A Per kW, yes.

22 Q Per kW, okay.

23 MS. BROWNLESS: That's all I have. Thank you.

24

25

CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MS. HART:

Q Mr. Major, I just have a few questions. Good morning.

A Good morning.

Q It is still morning. I want to clarify a couple of things.

You made some references to, if I heard you correctly, a reservation fee. Is that the same as the down payment we were talking about?

A Yes. I think, they're probably used synonymously.

Q Interchangeably, okay. So, referring to that confidential document that everybody still has, FPC 296 is the page number.

A Yes.

Q And at bullet number 4, the figure that's discussed in there, is that the only payment that has been made?

A That is correct.

Q Okay. That's the total payment that's been made for all the equipment associated with Hines 2?

A Yes.

Q Do you know whether that's been passed through the fuel adjustment clause?

1 A That payment would be part of a capital work
2 order, I believe. I can't, specifically, answer that
3 question. Someone in our financial group would have to
4 answer that. But, typically, it would be part of the
5 capital work order.

6 Q Is there someone here that can address that
7 question?

8 A I don't know if we have a witness that's
9 familiar with that or how that's been specifically booked.

10 COMMISSIONER JACOBS: Counsel, would there be a
11 witness that might be able to address that question?

12 A Let me explain. Typically, if a reservation fee
13 or a down payment is made on a project, and the project
14 goes forward, that becomes part of the capital cost of the
15 project.

16 If a down payment like this were made and the
17 project doesn't go forward, typically, it would be billed
18 as an expense and written off in the year -- and
19 considered as an expense in the year that it was written
20 off in.

21 MS. HART: Mr. Sasso, could we perhaps get a
22 late-filed exhibit showing where that amount has been
23 booked?

24 MR. SASSO: Well, we can represent that it does
25 not go through the fuel clause.

1 MS. HART: I'll repeat my question.

2 MR. SASSO: I'm not sure I understand what --

3 MS. HART: Could we see where it did go? Did it
4 go to earnings?

5 MR. SASSO: We'll look into it.

6 COMMISSIONER JACOBS: Why don't we do this. Go
7 ahead and designate it as a late-filed.

8 MS. HART: Let's call it treatment of
9 reservation fee.

10 COMMISSIONER JACOBS: Very well. That's marked
11 as Exhibit 16.

12 (Late-filed Exhibit 16 identified for the
13 record.)

14 MS. HART: Okay.

15 MS. BROWNLESS: Excuse me, Commissioner, did I
16 miss 15?

17 COMMISSIONER JACOBS: I show 15 as composite
18 exhibits for Mr. Major to his testimony.

19 MS. BROWNLESS: Okay.

20 BY MS. HART:

21 Q Mr. Major, do you know how this payment was
22 treated in Florida Power's cost-effective analyses
23 performed for this case?

24 A I do not.

25 Q Okay. Mr. Major, pursuant to this contract with

1 Seimens Westinghouse, could Florida Power have sold its
2 options under that contract?

3 A As far below market price as that option is, the
4 vendor would have resisted selling the option. I'd say
5 the answer is no.

6 COMMISSIONER JACOBS: So, that was not a
7 unilateral option that they have some discretion over it?

8 THE WITNESS: There were some limitations under
9 that option, yes.

10 BY MS. HART:

11 Q Do you know if that possibility was ever
12 explored?

13 A That possibility had been discussed with Seimens
14 Westinghouse, and we got a negative reaction from them.

15 MS. HART: Okay. That's all.

16 COMMISSIONER JACOBS: Commissioners? Redirect?

17 MR. WALLS: Yes, I believe, I just have a couple
18 questions.

19 REDIRECT EXAMINATION

20 BY MR. WALLS:

21 Q First, Mr. Major, if I could take you back to
22 Exhibit 6 of your prefiled, which is the schedule.

23 A Yes.

24 Q You were asked questions regarding the shading
25 of the light blue versus the dark blue on that schedule.

1 It's correct that that light blue shading represents
2 noncritical path activity while the dark blue represents
3 critical path activity; is that correct?

4 A I believe that is correct.

5 Q You were asked several questions regarding the
6 option that Florida Power has with Seimens Westinghouse
7 and the time lead that would be required to get the
8 production spots. Do you recall those questions?

9 A Yes, I do.

10 Q Are you familiar with the way that works in the
11 marketplace with respect to any utility or other
12 developer?

13 A Well, any developer, in anticipation of building
14 a new unit, must buy quantities or reserve production
15 slots far in advance of maybe having a defined need of
16 where that unit is going to go in order to assure delivery
17 to meet their in-service date.

18 Q And is it also fair to say, then, that Panda
19 would also have had to do the same thing in order to bid
20 on this project?

21 A I would assume they would have to do the same
22 thing.

23 Q Mr. Major, if you didn't have an option on Hines
24 2 last year, could you realistically be able to hold the
25 self-build up as a backstop for the ratepayers?

1 A In my opinion, we could not.

2 Q And why is that?

3 A Because at that time the production slots were
4 far enough out and the price was significantly higher and
5 I'm not sure it would have been a viable option to
6 consider in terms of on a cost basis.

7 MR. WALLS: That's all the questions I have.

8 COMMISSIONER JACOBS: Exhibits?

9 MR. WALLS: Yes. I'd like to move Exhibit 15,
10 the composite exhibit of Mr. Major's prefiled exhibits
11 EGM-1 through EGM-6 into evidence.

12 COMMISSIONER JACOBS: Show exhibit 15 admitted.

13 (Exhibit 15 admitted into the record.)

14 COMMISSIONER JACOBS: Staff, Exhibit 16?

15 MR. WALLS: 16 is the late-filed exhibit.

16 COMMISSIONER JACOBS: Right, okay. Thank you,
17 Mr. Major, you're excused.

18 (Witness excused.)

19 COMMISSIONER JACOBS: Next witness.

20 MS. BOWMAN: Mr. Chairman, Florida Power's next
21 witness is W. Jeffrey Pardue. And through a stipulation
22 between the parties and Staff, we have agreed to the
23 admission of Mr. Pardue's prefiled testimony. And I would
24 ask that it be admitted into the record as though read.

25 COMMISSIONER JACOBS: Very well. Without

1 objection, show that Mr. Pardue's prefiled testimony is
2 admitted into the record as though read.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

IN RE: PETITION FOR DETERMINATION OF NEED
BY FLORIDA POWER CORPORATION
FPSC DOCKET NO. _____

DIRECT TESTIMONY OF W. JEFFREY PARDUE

I. INTRODUCTION AND BACKGROUND.

1 Q. Please state your name and business address.

2 A. My name is W. Jeffrey Pardue, and my business address is Florida Power
3 Corporation, One Power Plaza, 263 13th Avenue, South, St. Petersburg, Florida
4 33733.

5

6 Q. By whom are you employed and in what position?

7 A. I am employed by Florida Power Corporation ("FPC" or the "Company"), as the
8 Director of Environmental Services.

9

10 Q. Please describe your duties and responsibilities with Florida Power
11 Corporation.

12 A. As Director of Environmental Services, I am responsible for managing the
13 Company's Environmental Services Department. The Environmental Services
14 Department consists of separate subject matter areas, including Air Programs, Water
15 Programs, Operations and Special Projects, Hazardous Materials Management and
16 Site Remediation, Corporate Compliance, and Natural Resources. The

1 Environmental Services Department serves as the primary interface with federal,
2 state, and local regulatory agencies and handles, among other things, all
3 environmental siting, licensing, and permitting matters for the Company. The
4 Department also conducts or oversees all environmental monitoring, environmental
5 studies, and environmental impact assessments; audits environmental compliance;
6 and provides numerous other environmental services. Among these are: air
7 emission testing and monitoring, Prevention of Significant Deterioration ("PSD")
8 review, Best Available Control Technology ("BACT") analysis, air quality
9 modeling, Acid Rain compliance and reporting, Surface and Groundwater permitting
10 and assessments, new facility siting, site certification and permitting, site
11 remediation, and water supply analysis and permitting.

12

13 **Q. Please summarize your educational background.**

14 **A.** I earned a Bachelor of Science degree in Biology from Bowling Green State
15 University. I earned a Masters of Science degree in Biology from Wright State
16 University, and a Masters of Business Administration from the Florida Institute of
17 Technology.

18

19 **Q. Please summarize your employment history and work experience.**

20 **A.** Prior to coming to FPC in 1984 I was employed by the Tennessee Valley Authority
21 ("TVA"). I held various positions including project leader for multidisciplinary field
22 studies siting new generation for fossil, nuclear, and hydroelectric facilities. I

1 prepared environmental documentation for environmental impact statements, and I
2 designed and implemented studies to assess the impacts of power generation and
3 transmission facilities on the environmental resources in the seven-state TVA area.

4 In 1984, I joined FPC as a senior environmental coordinator. Among other
5 responsibilities, I identified wetland boundaries using the vegetation index and
6 provided environmental input to the route site selection team for new transmission
7 and distribution line projects. I prepared the wetland boundary data and reviewed
8 that data with the Florida Department of Environmental Protection ("FDEP") as part
9 of the certification application and review of the proposed Lake Tarpon-Kathleen
10 500kV transmission line. I also conducted scientific studies and managed
11 environmental consultants in the conduct of various field studies and analyses. In
12 1987, I was promoted to supervisor of the Air & Water Programs in the
13 Environmental Services Department. In addition to performing my supervisory
14 responsibilities, I served as the primary point of accountability for all issues
15 involving air quality, water quality, and wetland resource permitting. I also served
16 on the route site selection team for transmission and distribution line site and route
17 selection.

18 In 1991, I was promoted to Manager, Environmental Programs. In this
19 position I was accountable for site selection, assessment, and permitting for power
20 generation projects as well as transmission line projects. I managed an expanding
21 technical staff in the areas of air quality, water quality, storage tank management,
22 and regulatory affairs. I was responsible for overseeing the installation of

1 continuous emission monitors throughout the system and provided recommendations
2 to senior management on environmental strategies and policies.

3 In 1994, I was promoted to my current position as Director of Environmental
4 Services. Generally my responsibilities are described above in response to the
5 question regarding my current position. More specifically, as it relates to this
6 testimony, I am responsible for obtaining site certification for Hines 2 at the Hines
7 Energy Complex ("HEC").

8
9 **Q. What is your experience in power plant siting and licensing?**

10 **A.** I prepared post-certification submittals for Crystal River Units 4 and 5 and
11 negotiated amendments to the Conditions of Certification at various times over the
12 past 15 years.

13 I represented the Company with respect to environmental analysis as part of
14 the HEC site selection process. During the site certification, I was responsible for
15 the review of air quality and water quality information and the analysis of
16 environmental impact.

17 I currently am responsible for obtaining certification for Hines 2 at the HEC.
18 This includes overall management of the project, providing technical resources,
19 overseeing all aspects of the application preparation, handling responses to
20 comments, meeting with regulatory agency managers, and ensuring that the
21 certification project is completed on schedule and under budget. I will also be

1 responsible for meeting with and briefing Cabinet Staff with respect to the Hines 2
2 project.

3

4 **II. PURPOSE AND SUMMARY OF TESTIMONY.**

5

6 **Q. What is the purpose of your testimony in this proceeding?**

7 A. I am testifying on behalf of FPC in support of its Petition for a Determination of
8 Need (1) to describe the HEC site, (2) to discuss the environmental benefits of the
9 HEC site and the Hines 2 power plant that FPC proposes to build, and (3) to discuss
10 the environmental approval process associated with the construction and operation of
11 the Hines 2 plant.

12

13 **Q. What are your responsibilities with respect to the Hines 2 power plant that is
14 the subject of this proceeding?**

15 A. I am responsible for preparation and submittal of the Supplemental Site Certification
16 Application for the proposed Hines 2 power plant, which includes the application for
17 PSD approval, obtaining the FDEP's approval of the PSD application, negotiating
18 Conditions of Certification with the participating regulatory agencies, and obtaining
19 certification approval from the Governor and Cabinet sitting as the Siting Board.

20

1 **III. DESCRIPTION OF THE SITE AND THE PROPOSED POWER PLANT.**

2

3 **Q. Are you familiar with the HEC site?**

4 **A. Yes.**

5

6 **Q. Please describe the HEC.**

7 **A. The 8,200 acre HEC is located in an industrial section of southwest Polk County.
8 The HEC site had been altered and disturbed by prior mining activity.**

9

10 **Q. Is the HEC permitted for electric power plant usage?**

11 **A. Yes. In 1994, the Governor and Cabinet, sitting as the Siting Board pursuant to the
12 Florida Electrical Power Plant Siting Act ("PPSA"), granted certification to FPC to
13 construct and operate Hines Unit 1 ("Hines 1") and for 3,000 megawatts ("MW") of
14 ultimate site capacity. Similar to its proposed sister unit, Hines 2, the Hines 1 plant
15 consists of two combustion turbines ("CTs"), each equipped with one heat recovery
16 steam generator ("HRSG"), and a single steam turbine electrical generator ("ST").
17 The Siting Board specifically made a determination that the HEC had the ultimate
18 site capacity to support 3,000 MW of electrical generating facilities fired by either
19 natural gas or coal gasification. The original proceeding that culminated in that 1994
20 Certification included extensive evaluations of the worst case capacity constraints
21 and maximum potential environmental effects of the operation of the expected 3,000
22 MW of capacity. These evaluations included assessments of air quality impacts,**

1 water quality and wildlife impacts, water use and noise impacts, socioeconomic
 2 impacts and benefits, traffic impacts from construction and operation, and other
 3 impacts of the entire planned capacity of 3,000 MW. This evaluation was
 4 undertaken, in large measure, to provide assurances that the HEC has adequate air,
 5 water, and land resources to accommodate additional electrical generating units like
 6 those proposed in the current Supplemental Site Certification Application ("SSCA").
 7 Confirming the Polk County Board of County Commissioners' finding, the Siting
 8 Board also concluded that the HEC was consistent and in compliance with the land
 9 use plans and zoning requirements of Polk County.

10 After receiving the Certification, FPC constructed the 470 MW (nominal)
 11 Hines 1 plant. Hines 1 began commercial operation in April 1999.

12

13 **Q. Are you familiar with the proposed Hines 2 plant?**

14 **A.** Yes.

15

16 **Q. Please briefly describe the proposed plant.**

17 **A.** The Hines 2 power block will be a state-of-the-art gas-fired, combined cycle power
 18 plant with a nominal rating of 530 MW. FPC will build the plant at the HEC. The
 19 Company proposes to place the plant into commercial operation by November 30,
 20 2003. The plant will use distillate oil as a backup fuel source. The plant will be a
 21 highly efficient, intermediate or baseload unit with a heat rate of 6,975 Btu/kWh.

22

1 **Q. What environmental permits are necessary for the construction and operation**
2 **of the proposed Hines 2 plant?**

3 A. Although the Company has previously obtained Site Certification from the Florida
4 Siting Board for an ultimate capacity of 3,000 MW at the HEC and for the
5 construction and operation of Hines 1, the proposed addition of Hines 2 requires the
6 approval of a Supplemental Site Certification Application (“SSCA”). Pursuant to
7 the requirements of the PPSA and Chapter 62-17, F.A.C., FPC has submitted a
8 SSCA for the purpose of building Hines 2. This SSCA will be reviewed by state
9 agencies, the water management district, local government, and others. After
10 extensive review, a DOAH administrative law judge will issue an order
11 recommending approval or denial to the Governor and Cabinet, sitting as the Siting
12 Board. If approval is recommended the FDEP will also recommend Conditions of
13 Certification as part of the Siting Board’s approval. Ultimately the Governor and
14 Cabinet will issue or deny Site Certification considering the need for power balanced
15 with the expected environmental impacts.

16
17 **Q. What information does FPC's Supplemental Site Certification Application**
18 **include?**

19 A. The SSCA addresses the environmental and socioeconomic aspects of the additional
20 generating unit at the HEC by presenting information on the existing natural and
21 human environments, the additional generating facilities proposed to be constructed
22 and operated, and the impacts of those additional facilities on those environments.

1 Much of the information contained in this SSCA is updated information from the
2 Site Certification Application filed in 1992 (the "1992 SCA") for Hines 1 and
3 ultimate site certification for the HEC, with a focus on the environmental impacts of
4 the construction and operation of Hines 2. Similar to Hines 1, Hines 2 will consist of
5 two combustion turbines ("CTs"), each equipped with one heat recovery steam
6 generator ("HRSG"), and a single steam turbine electrical generator ("ST").
7 Existing and previously permitted infrastructure, including fuel delivery and storage
8 facilities, electrical transmission lines, potable water, wastewater treatment/disposal,
9 and transportation facilities at the HEC are adequate with some minor enhancements
10 for the operation of Hines 1 and 2.

11
12 **IV. ENVIRONMENTAL BENEFITS OF THE SITE AND THE PROPOSED**
13 **PLANT.**

14
15 **Q. What environmental benefits do the HEC and the proposed plant offer?**

16 **A.** The HEC and proposed plant offer several environmental benefits. First, Hines 2
17 will be located at the HEC, an existing power plant site. The HEC continues to
18 represent a beneficial reuse of an environmentally impacted mined-out phosphate
19 area and was specifically selected as a power plant site because of its minimal
20 environmental impact. As such, there were and are no major environmental
21 limitations. Most, if not all, of the environmental issues associated with the site were
22 resolved when Hines 1 was certified. Accordingly, Hines 2 requires only a

1 supplemental application and review that will require less time, and, as an additional
2 benefit, it will cost less to obtain the necessary environmental approvals.

3 Because the Florida Siting Board approved the HEC for up to 3,000 MW and
4 given that the Company previously developed the property for the Hines 1 plant,
5 little additional development is necessary for Hines 2. In fact, the principal
6 infrastructure is already in place, including extensive site development (excavation,
7 fill, access roads, sewer systems), a 722 acre cooling pond, and a fully sized natural
8 gas lateral pipeline. Most other common facilities, such as the site administration
9 building including the control room, will require only minor modifications. There
10 will be some minor incremental increase in staffing. In addition, all onsite distillate
11 oil delivery, storage, and handling facilities, including unloading areas, piping, and
12 storage tank systems, and the containment tanks are in place and adequate for Hines 1
13 and 2. The existing on-site cooling pond provides circulating water for cooling of the
14 plant auxiliary systems and steam turbine condenser.

15 The HEC's large size also provides a substantial buffering of the proposed
16 plant, which minimizes environmental and socioeconomic impacts. The HEC is
17 located in a low population density area not close to any residential areas and is
18 zoned to accommodate electrical power plants.

19 FPC will enhance the wildlife corridor, which was acquired with FPC funds
20 during the initial certification, by conveying the Tiger Bay wetland to the state and
21 by granting a conservation easement over approximately 1,000 acres on the eastern
22 and northeastern areas of the property.

1 Vehicular access is provided by County Road 555 ("CR 555"), with rail access
2 provided by existing CSX rail lines, including an on-site rail spur. FPC completed a
3 traffic impact analysis to assess traffic impacts for the construction and operation of the
4 full build-out of the HEC (3,000 MW) on Polk County roadways. Conditions of
5 Certification addressing those impacts were included in the 1994 Certification. Area
6 roadways have capacity to accommodate traffic from construction and operation of
7 Hines 2 as previously demonstrated.

8 The existing Certification also minimizes potential impacts on water and air
9 quality. Under the terms of the original Site Certification, the facility is designed for
10 zero discharge of industrial wastewater to off-site surface waters. Process wastewater
11 streams are treated on-site and are used as makeup for the cooling pond. The major
12 consumption and/or loss of water occur through evaporation from the cooling pond,
13 both natural and from heat rejected by the Combined Cycle units. The proposed Hines
14 2 plant will utilize treated effluent and storm water for cooling with no discharge
15 offsite.

16 Under the 1994 Certification, FPC is required to secure alternative sources of
17 water, rather than use groundwater, for makeup cooling water for the first 940 MW of
18 generation except, if approved by the Southwest Florida Water Management District
19 ("SWFWMD"), in case of emergency. Reclaimed water from the City of Bartow, on-
20 site storm water runoff and water cropping (use of onsite rainfall collection basins), and
21 reuse of process water will be used to provide makeup water to the cooling pond during
22 operation of Hines 1 and 2.

1 The Company is also conducting research on a new project, the Aquifer
2 Recharge and Recovery Project ("ARRP"). This project, along with other initiatives
3 the Company is investigating, may serve to lessen future ultimate site demands for
4 groundwater withdrawal.

5 The existing site storm water management system (detention pond) is located
6 within the Plant Island area. This system is adequate for Hines 1 and 2 and provides
7 overflow to the onsite cooling pond. Ground water is currently used only to meet the
8 potable and sanitary needs of the facility.

9 In accordance with the existing Conditions of Certification, in order to enhance
10 flows to Camp Branch and McCullough Creek (and ultimately to the Peace River), FPC
11 has modified the drainage systems onsite and offsite in order to contribute runoff to
12 these surface water systems. No changes to these enhanced flows are required for
13 Hines 2.

14 Air emission control will be achieved using the best available control
15 technology. Selective catalytic reduction ("SCR") technology will be used to control
16 nitrogen oxide (NO_x) emission levels while firing natural gas. While firing distillate oil
17 as a backup, water injection along with SCR will be used to limit NO_x levels. The
18 combustion of clean fuels to minimize sulfur dioxide (SO₂) and particulate matter
19 emissions is accomplished by burning fuels low in ash and sulfur content in
20 conjunction with good combustion practices to ensure complete combustion. These
21 technologies will ensure compliance with applicable air quality standards.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

Finally, noise impacts from the full 3,000 MW site were assessed for several residential receptors around the HEC as part of the 1994 Certification. Fractional noise increases observed at any nearby residential receptor will not be noticeable or significant. The isolated location and buffer area around the HEC results in the lack of a significant noise impact.

Q. What is the licensing schedule for the Hines 2 plant?

A. FPC filed the SSCA with the FDEP on July 24, 2000, which will allow for the commencement of commercial operations by November 30, 2003.

V. CONCLUSION.

Q. Do you have an opinion with respect to the ability of the Company to obtain all necessary licenses to allow for commercial operation by November 30, 2003?

A. Yes.

Q. What is your opinion?

A. Based on our review and analysis, it is my professional opinion that certification of the Hines 2 plant should be approved by the Governor and Cabinet and the PSD permit issued by FDEP in a timely fashion and in accordance with all applicable environmental laws and regulations.

1 Q. Are you aware of any reason that the Hines 2 plant could not be successfully
2 approved?

3 A. No.

4

5 Q. Does this conclude your direct testimony?

6 A. Yes.

1 COMMISSIONER JACOBS: He had no exhibits,
2 correct?

3 MS. BOWMAN: That's correct.

4 COMMISSIONER JACOBS: Great.

5 Mr. O'Neill.

6 MS. BOWMAN: Yes, Florida Power's next witness
7 would be Peter M. O'Neill. And, Mr. Chairman, again, the
8 parties and Staff have stipulated to the admission of
9 Mr. O'Neill's prefiled testimony, and we ask that it be
10 admitted into the record as though read.

11 COMMISSIONER JACOBS: Without objection, show
12 prefiled testimony of Mr. O'Neill is admitted into the
13 record as though read.

14

15

16

17

18

19

20

21

22

23

24

25

**IN RE: PETITION FOR DETERMINATION OF NEED
BY FLORIDA POWER CORPORATION
FPSC DOCKET NO. _____**

DIRECT TESTIMONY OF PETER M. O'NEILL

1

2

I. INTRODUCTION AND QUALIFICATIONS.

3

4 **Q: Please state your name, your employer, and business address.**

5 **A.** My name is Peter M. O'Neill. I am employed by Florida Power Corporation ("FPC"
6 or the "Company"). My business address is Florida Power Corporation, 6565 38th
7 Avenue, North, St. Petersburg, Florida, 33710.

8

9 **Q. What is your position with the Company?**

10 **A.** I am a Staff Engineer in the Company's Transmission Planning Department.

11

12 **Q. Please tell us about your educational background and work experience.**

13 **A.** I received a Bachelors Degree in Electrical Engineering from Virginia Polytechnic
14 Institute and State University in 1968 and a Masters of Business Administration
15 from the Florida Institute of Technology in 1978.

16

17

18

19

I was employed by Columbus and Southern Ohio Electric Company in the
Transmission Design Department from 1968 to 1973. Since 1973, I have been
employed by FPC in various planning and engineering design positions, including
almost eighteen years in the Company's Transmission Planning Department.

1 Currently, I am responsible for planning FPC’s bulk transmission system,
2 overseeing work associated with determining FPC’s transmission transfer capability.

3

4 **Q. Are you a member of any professional organizations?**

5 **A.** Yes. I am a member of the Institute of Electrical and Electronic Engineers. I am
6 also the Florida Reliability Coordinating Council’s (“FRCC”) representative on the
7 North American Electric Reliability Council (“NERC”) Reliability Assessment
8 Committee, which is responsible for assessing the reliability of the North American
9 Electric Grid. I further serve on the FRCC Compliance Working Group, which is
10 responsible for developing a compliance program for, and monitoring compliance
11 with, the NERC Planning Standards. I am a Registered Professional Engineer in the
12 State of Florida, and have been since 1974.

13

14 **II. PURPOSE AND SUMMARY OF TESTIMONY.**

15

16 **Q. What is the purpose of your testimony in this proceeding?**

17 **A.** I am testifying on behalf of FPC, in support of its Petition for Determination of
18 Need, by describing FPC’s existing transmission and distribution facilities and
19 describing and explaining the need for the transmission facility additions and
20 upgrades required by the addition of the Hines 2 unit at the Hines Energy Complex
21 (“HEC”) in November 2003.

22

23

1 Q. Are you sponsoring any sections of FPC's Need Study, Exhibit ____, (JBC-1)?

2 A. Yes. I am sponsoring Section II, C, "Transmission and Distribution Facilities,"
3 which generally identifies FPC's current transmission and distribution facilities, and
4 Sections VII, F, "Transmission Requirements" and VII, H. 4., "Transmission
5 Interconnection Facilities," which describe the transmission facility additions,
6 upgrades, and costs associated with the addition of the Hines 2 unit at the HEC.

7
8 Q. Are you sponsoring any exhibits to your testimony?

9 A. Yes. I am sponsoring the following exhibits to my testimony:

**PMO-1 Map of FPC's Existing Generation Plants, Substations, and
Transmission Lines.**

**PMO-2 Map of Transmission Network in the Vicinity of the Hines
Energy Complex.**

10

11 Q. Please give us a summary of your testimony.

12 A. In part III of my testimony, I generally describe the Company's existing
13 transmission and distribution facilities. I am supporting this information in the
14 Company's Need Study for the Hines 2 plant at the HEC.

15 In part IV, I turn to the transmission facility additions and upgrades that the
16 Company has determined are needed with the proposed addition of the Hines 2 plant
17 at the HEC in Polk County, Florida. I will describe those additions and upgrades
18 and explain the need for them.

19

20

1 **III. FPC'S TRANSMISSION AND DISTRIBUTION FACILITIES.**

2

3 **Q. Can you generally describe the Company's current transmission and**
4 **distribution facilities?**

5 **A.** Yes. FPC owns approximately 4,700 miles of transmission lines and over 80
6 transmission substations. FPC's distribution system includes over 25,000 circuit
7 miles and over 270 distribution substations. FPC has 54 points of interconnection
8 with other utilities within its transmission system, and it is part of a nationwide
9 interconnected power network. The existing FPC system in the State of Florida,
10 including generating plants, substations, transmission lines and service area, is
11 shown on the system map in Exhibit __ (PMO-1).

12

13 **IV. HINES 2 TRANSMISSION FACILITIES.**

14

15 **Q. Are any transmission facility upgrades or additions required in connection with**
16 **the addition of the Hines 2 plant at the HEC to FPC's system?**

17 **A.** Yes. Based on my evaluation of the addition of the Hines 2 plant to FPC's system
18 for compliance with FPC's transmission planning criteria and sound transmission
19 engineering practice in the utility industry, I have determined that the following
20 transmission facility upgrades or additions are required as shown on Exhibit _____
21 (PMO-2).

1 (1) The existing Hines Energy substation must be expanded by adding one more
2 230kv substation bay to accommodate additional substation terminations, in
3 particular, a second Hines-Barcola 230kv transmission circuit.

4 (2) To connect Hines 2 to the transmission grid, a second circuit must be added
5 to the existing Hines-Barcola 230kv line. This additional transmission capacity,
6 which the Siting Board certified in 1994, will be required when both Hines 1 and
7 Hines 2 are on line. The Hines-Barcola 230kv, circuit 1 is currently constructed on
8 double circuit, steel pole structures for 3.1 miles between FPC's Hines Energy
9 substation and FPC's Barcola substation. A second, 3.1 mile circuit is proposed to
10 be installed on the existing steel pole structures with the addition of Hines 2 using
11 bundled 954 kcm ACSR conductor per phase.

12 (3) The existing single circuit, 3.97 mile, 230kv transmission interconnection
13 between FPC's Barcola substation and Tampa Electric Company's ("TECO")
14 Pebbledale substation must also be upgraded to accommodate the projected power
15 flow following the addition of Hines 2 and other planned, non-FPC units to the
16 transmission grid. FPC proposes to replace the existing single circuit structures with
17 new double circuit, steel pole structures and upgrade the conductor on the existing
18 circuit from single 954 kcm ACSR conductor to bundled 954 kcm ACSR conductor
19 per phase. FPC and TECO will be negotiating the upgrade of this interconnection in
20 the year 2000, with the final scope and responsibility for the work on this upgrade
21 finalized by a Transmission Interconnection and Operating Agreement between FPC
22 and TECO.

23

1 **Q. Can you generally explain the process by which you determined that**
2 **transmission facility upgrades and additions were required with the addition of**
3 **Hines 2 to FPC's system at the HEC?**

4 **A.** Yes. On a yearly basis, the FPC Transmission Planning Department reviews the
5 transmission facility additions or upgrades required on the FPC transmission system
6 based on the latest FRCC load flow cases. These load flow cases reflect the planned
7 generation additions as proposed in each utility's Ten-Year Site Plan ("TYSP") as
8 filed April 1 of each year, including FPC's TYSP showing its proposed generation
9 additions. Since 1997, FPC has included Hines 2 in its TYSP and the FRCC load
10 flow cases have included a Hines 2 unit as a result.

11 Based on the FRCC load flow cases, FPC's Transmission Planning
12 Department performs load flow analyses and determines the need for transmission
13 facility additions or upgrades based on meeting FPC's "Transmission Planning
14 Reliability Criteria," Section 4 as filed on FERC Form No. 715 "Annual
15 Transmission Planning and Evaluation Report." This ongoing analysis of the FPC
16 transmission system based on the latest FRCC load flow cases and FPC planning
17 criteria has identified the need for a Hines-Barcola 230kv circuit 2 line and an
18 upgrade of the existing Barcola-Pebbledale 230kv interconnection for several years.

19
20 **Q. Why does the Hines Energy 230kv substation need to be expanded for Hines 2?**

21 **A.** To accommodate the Hines 2 power block connection to the transmission grid and to
22 provide a substation termination for the Hines-Barcola 230kv, circuit 2 addition, the

1 Hines Energy substation must be expanded by adding one more 230kv substation
2 bay to provide two additional substation terminations.

3

4 **Q. Why is there a need for an additional 230kv circuit from FPC's Hines Energy**
5 **substation to FPC's Barcola substation?**

6 **A.** With the addition of the proposed Hines 2 unit at the HEC in November 2003, the
7 projected, total net generation at the HEC with Hines 1 and 2 will be 977 MW in the
8 summer and 1,096 MW in the winter. There are three existing 230kv transmission
9 circuits from the HEC that were installed in connection with the Hines 1 unit — two
10 circuits to FPC's Fort Meade substation and a single circuit constructed on double
11 circuit structures to FPC's Barcola substation. With the proposed addition of Hines
12 2 in November 2003, a forced outage of the existing Hines-Barcola 230kv, circuit 1
13 (3.1 miles) could thermally overload the existing FPC Fort Meade-West Lake Wales
14 230kv line under certain operating conditions in violation of FPC's transmission
15 planning criteria. Accordingly, the addition of a second circuit to the Hines-Barcola
16 230kv line is required to alleviate this potential contingency overload situation.

17

18 **Q. Why is there a need to upgrade the Barcola-Pebbledale 230kv line?**

19 **A.** The loading on the existing, single circuit, Barcola (FPC) to Pebbledale (TECO)
20 230kv interconnection is affected by the generation additions at the HEC, Seminole
21 Electric Cooperative, Inc.'s Payne Creek Plant, and TECO's Polk Plant. All three
22 utilities are planning to add generation at these sites in the 2000/04 timeframe. In
23 FPC's transmission planning studies, by the winter of 2003/04, a forced outage of

1 the existing FPC Fort Meade-West Lake Wales 230kv (19.87 miles) circuit will
2 overload the Barcola-Pebbledale 230kv interconnection in violation of FPC's
3 transmission planning criteria. Accordingly, an upgrade of the Barcola-Pebbledale
4 230kv line is required to alleviate this potential contingency overload situation.

5
6 **Q. Has the transmission facility addition for the Hines 2 unit at the HEC been**
7 **authorized by the Florida Siting Board?**

8 **A.** Yes. The Hines-Barcola circuit 2 addition required for the connection of the Hines 2
9 unit with FPC's transmission system was authorized and licensed as an "associated
10 facility" in the Certification of the HEC by the Governor and Cabinet, sitting as the
11 Florida Siting Board, in 1994.

12
13 **Q. How much will the transmission facility upgrades and additions for the Hines 2**
14 **unit cost?**

15 **A.** All of the transmission facility additions and upgrades that I have described together
16 will cost FPC an estimated \$5.6 million. This is the amount listed for transmission
17 facility additions or upgrades in item 11 in Attachment D to FPC's Request for
18 Proposals, Appendix P (JBC-1).

19
20
21
22
23

V. CONCLUSION.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15

Q. In your opinion, are the transmission facility upgrades and additions that you have described for the addition of the Hines 2 plant to FPC's system reasonable?

A. Yes. In my professional judgment, and based on my experience and evaluation of the impact of adding the Hines 2 unit to FPC's system, these transmission facility upgrades and additions are what will be reasonably required to accommodate the addition of the Hines 2 unit to the FPC transmission system by November 2003.

Q. Does this conclude your testimony?

A. Yes.

1 MS. BOWMAN: In addition, Mr. O'Neill's testimony
2 attaches two exhibits PMO-1, PMO-2. Florida Power would
3 ask that that now be marked and admitted into evidence as
4 composite Exhibit Number 17.

5 COMMISSIONER JACOBS: Very well. Show that
6 marked as Exhibit 17.

7 MS. BOWMAN: And we'd ask that they be admitted
8 as well.

9 COMMISSIONER JACOBS: They are admitted.
10 (Exhibit 17 marked for identification and
11 admitted into the record.)

12 COMMISSIONER JACOBS: Very well. Thank you.

13 MR. SASSO: We have no additional exhibits as
14 part of our case in chief. We do have two rebuttal
15 witnesses, who we had arranged to testify in response to
16 Mr. Dickens' testimony who, I believe, would be next up.

17 COMMISSIONER JACOBS: Very well. Staff, you may
18 call your witness.

19 MS. BOWMAN: Mr. Chairman, if I could just
20 briefly ask that we be able to collect the confidential
21 materials.

22 (Confidential materials collected.)

23 COMMISSIONER JACOBS: Ready? Call your witness,
24 Staff.

25 MS. HART: Okay. Staff calls Billy Dickens.

1 COMMISSIONER JACOBS: It occurs to me we may be
2 engaging in cross for some period of time here.

3 MR. SASSO: That's correct.

4 COMMISSIONER JACOBS: Why don't we go ahead and
5 break for lunch now, and we'll come back at 12:30. Sorry
6 to get your hopes up, Mr. Dickens, but we'll break for
7 lunch now and come back at 12:30.

8 (Transcript continues in sequence in Volume 5.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON)

4
5 I, KORETTA E. STANFORD, RPR, Official FPSC Commission
6 Reporter, do hereby certify that Volume 4 in Docket Number
7 001064-EI was heard by the Florida Public Service
8 Commission at the time and place herein stated.

9 It is further certified that I stenographically
10 reported the said proceedings; that the same has been
11 transcribed under my direct supervision; and that this
12 transcript, consisting of 184 pages, constitutes a true
13 transcription of my notes of said proceedings.

14 I FURTHER CERTIFY that I am not a relative, employee,
15 attorney or counsel of any of the parties, nor am I a
16 relative or employee of any of the parties' attorney or
17 counsel connected with the action, nor am I financially
18 interested in the action.

19 DATED this 1st DAY OF NOVEMBER, 2000

20
21 

22 KORETTA E. STANFORD, RPR
23 FPSC Official Commission Reporter
24 (850) 413-6734
25