


**BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION**

**DOCKET NO. 001748-EC**

**In the Matter of**

**PETITION FOR DETERMINATION OF  
NEED FOR THE OSPREY ENERGY  
CENTER IN POLK COUNTY BY  
SEMINOLE ELECTRIC COOPERATIVE  
AND CALPINE CONSTRUCTION  
FINANCE COMPANY, L.P.**



**ELECTRONIC VERSIONS OF THIS TRANSCRIPT  
ARE A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING  
AND DO NOT INCLUDE PREFILED TESTIMONY.**

**VOLUME 1**

**PAGES 1 THROUGH 124**

**PROCEEDINGS: HEARING**

**BEFORE: CHAIRMAN E. LEON JACOBS, JR.  
COMMISSIONER J. TERRY DEASON  
COMMISSIONER LILA A. JABER  
COMMISSIONER BRAULIO L. BAEZ  
COMMISSIONER MICHAEL A. PALECKI**

**DATE: Monday, February 12, 2001**

**TIME: Commenced at 9:35 a.m.  
Concluded at 10:40 a.m.**

**PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida**

**REPORTED BY: TRICIA DeMARTE  
Official FPSC Reporter**

DOCUMENT NUMBER - DATE

02239 FEB 16 2001

FPSC-REPORTING

**1 APPEARANCES:**

**2 ROBERT SCHEFFEL WRIGHT, JOHN T. LaVIA,**  
**3 III, and DIANE K. KIESLING, Landers & Parsons,**  
**4 310 West College Avenue, Tallahassee, Florida 32302,**  
**5 appearing on behalf of Calpine Construction Finance**  
**6 Company, L.P.**

**7 JOSEPH A. McGLOTHLIN, McWhirter, Reeves,**  
**8 McGlothlin, Davidson, Dekker, Kaufman, Arnold &**  
**9 Steen, 117 South Gadsden Street, Tallahassee,**  
**10 Florida 32301, appearing on behalf of Seminole**  
**11 Electric Cooperative, Inc.**

**12 RACHAEL N. ISAAC and ROBERT V. ELIAS, FPSC**  
**13 Division of Legal Service, 2540 Shumard Oak**  
**14 Boulevard, Tallahassee, Florida 32399-0850,**  
**15 appearing on behalf of the Commission Staff.**

**16****17 ALSO PRESENT:**

**18 JUDY HARLOW, FPSC, Division of Safety & Electric**  
**19 Reliability**  
**20 HAROLD McLEAN, FPSC, Commissioner's Suite**

**21****22****23****24****25**

**I N D E X****WITNESS**

<b>NAME:</b>	<b>PAGE NO.</b>
--------------	-----------------

**TIMOTHY S. WOODBURY**

<b>Direct Examination by Mr. McGlothlin</b>	<b>7</b>
<b>Stipulated Prefiled Direct Testimony Inserted</b>	<b>10</b>
<b>Redirect Examination by Mr. McGlothlin</b>	<b>33</b>

**GARL S. ZIMMERMAN**

<b>Stipulated Prefiled Direct Testimony Inserted</b>	<b>37</b>
--	-----------

**WILLIAM T. LAWTON**

<b>Stipulated Prefiled Direct Testimony Inserted</b>	<b>54</b>
--	-----------

**ROBERT L. WOODALL**

<b>Stipulated Prefiled Direct Testimony Inserted</b>	<b>60</b>
--	-----------

**TIMOTHY R. EVES**

<b>Stipulated Amended Prefiled Direct Testimony Inserted</b>	<b>69</b>
--	-----------

**TEN S. BALDWIN**

<b>Stipulated Prefiled Direct Testimony Inserted</b>	<b>106</b>
--	------------

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**EXHIBITS**

<b>NUMBER:</b>		<b>ID.</b>	<b>ADMTD.</b>
1	<b>TSE-1 and TSW-2</b>	<b>9</b>	<b>35</b>
2	<b>GSZ-1 through 6</b>	<b>36</b>	<b>36</b>
3	<b>WTL-1 through WTL-4</b>	<b>53</b>	<b>53</b>
4	<b>RLW-1 through RLW-4</b>	<b>59</b>	<b>59</b>
5	<b>Volume 1 of Amended Exhibits to Amended Petition</b>	<b>67</b>	<b>67</b>
6	<b>TRE-1 through TRE-5</b>	<b>68</b>	<b>68</b>
7	<b>TSB-1 through TSB-12</b>	<b>104</b>	<b>105</b>
<b>CERTIFICATE OF REPORTER</b>			<b>124</b>

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**PROCEEDINGS**

**CHAIRMAN JACOBS: Call the hearing to order.**

**Counsel, read the notice.**

**MS. ISAAC: Pursuant to notice issued**

**December 11th, 2000, a notice published in the Florida Administrative Weekly on December 22nd, 2000, this time and place have been noticed for hearing in Docket Number 001748-EC, petition for determination of need for power plant in Polk County by Seminole Electric and Calpine.**

**Also, notice was published in The Ledger in Lakeland, Polk County, Florida on December 17th, 2000, pursuant to the requirements of Section 403.519, Florida Statutes.**

**The purpose of this hearing will be for the Commission to take final action to determine the need pursuant to Sections 403.501 through 519, Florida Statutes, for the construction of a power plant and related facilities in Polk County. This proceeding shall allow Seminole and Calpine to present evidence and testimony in support of its petition for a determination of need for its proposed plant and related facilities in Polk County and to permit members of the public who are not parties to the need determination proceeding the opportunity to present testimony concerning this matter and for such other purposes as the Commission may deem appropriate.**

**CHAIRMAN JACOBS: Take appearances. Which end**

1 should we start? All right.

2 MR. McGLOTHLIN: Joseph Allan McGlothlin,  
3 appearing for Seminole Electric Cooperative, Inc.

4 MR. WRIGHT: Robert Scheffel Wright, 310 West  
5 College Avenue, Tallahassee, Florida 32301, appearing on  
6 behalf of Calpine Construction Finance Company, L.P.

7 MR. LaVIA: John T. LaVia from Landers &  
8 Parsons, appearing on behalf of Calpine.

9 MS. KIESLING: Diane Kiesling, also Landers &  
10 Parsons, for Calpine.

11 MS. ISAAC: Rachael Isaac, appearing on behalf  
12 of Staff.

13 MR. ELIAS: Bob Elias, appearing on behalf of  
14 the Commission Staff.

15 MR. McLEAN: And lastly, Commissioners,  
16 Harold McLean, 2400 Shumard Oak Boulevard, Tallahassee,  
17 Florida 32399, appearing on behalf of the Commissioners.

18 CHAIRMAN JACOBS: Very well. Staff, preliminary  
19 matters?

20 MS. ISAAC: None that I know of.

21 CHAIRMAN JACOBS: Very well. As I understand  
22 it, there has been substantial agreement, and we're  
23 prepared to enter witnesses' testimony into the record.  
24 There's agreement on that? And there was one witness that  
25 we were going to put on the stand; correct?

1 **MS. ISAAC: That's correct, Mr. Woodbury.**

2 **CHAIRMAN JACOBS: Okay. Would you like to do**

3 **Mr. Woodbury first? And then we'll handle all the**

4 **other -- that sounds like a reasonable --**

5 **MS. ISAAC: Sure. Let's do Mr. Woodbury, and**

6 **then if you need to, we can call Mr. Eves.**

7 **CHAIRMAN JACOBS: Very well.**

8 **MR. McGLOTHLIN: Seminole calls**

9 **Timothy Woodbury.**

10

-----

11

**TIMOTHY S. WOODBURY**

12 **was called as a witness on behalf of Seminole Electric**

13 **Cooperative, Inc., and, having been duly sworn, testified as**

14 **follows:**

15

**DIRECT EXAMINATION**

16 **BY MR. McGLOTHLIN:**

17 **Q Please state your full name and business**

18 **address.**

19 **A Timothy S. Woodbury. My business address is**

20 **16313 North Dale Mabry Highway, Tampa, Florida.**

21 **Q By whom are you employed, Mr. Woodbury?**

22 **A Seminole Electric Cooperative.**

23 **Q What is your position with Seminole?**

24 **A I'm vice president of strategic services.**

25 **Q In that capacity, Mr. Woodbury, did you prepare**

1 and submit prefiled direct testimony in support of the  
2 joint application in this proceeding?

3 A Yes, I did.

4 Q Do you have it before you?

5 A Yes, I do.

6 Q Do you have any changes or corrections to the  
7 prefiled testimony?

8 A No, I do not.

9 Q We're referring to the revised version of that  
10 testimony?

11 A That's correct.

12 Q Do you adopt the testimony contained in the  
13 revised prefiled direct testimony as your testimony here  
14 today?

15 A I do.

16 MR. McGLOTHLIN: I request that the prefiled  
17 direct testimony, revised, of Mr. Woodbury be inserted as  
18 though read at this point.

19 CHAIRMAN JACOBS: Without objection, show the  
20 testimony of Mr. Woodbury entered into the record.

21 BY MR. McGLOTHLIN:

22 Q And did you also prepare some exhibits to  
23 accompany your testimony?

24 A Yes, I did.

25 Q Would you identify those quickly, please.



1           **A       Two exhibits: TSW-1 is a map showing the areas**  
2 **in which our Member systems serve throughout Peninsular**  
3 **Florida, and TSW-2 is revised. It's a listing of**  
4 **Seminole's year-round purchases and seasonal purchases**  
5 **under contracts with others.**

6                   **MR. McGLOTHLIN: I request that a number be**  
7 **assigned to the Woodbury exhibits for identification.**

8                   **CHAIRMAN JACOBS: We'll assign as a composite**  
9 **Exhibit TSW-1 and TSW-2 as Exhibit Number 1.**

10                   **(Exhibit 1 marked for identification.)**

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
2           **DIRECT TESTIMONY AND EXHIBITS OF TIMOTHY S. WOODBURY**  
3           **ON BEHALF OF SEMINOLE ELECTRIC COOPERATIVE, INC.**

4                           **DOCKET NO. 001748-EC**

5                           **JANUARY , 2001**

6  
7           **Q.     Please state your name and business address.**

8           A.     My name is Timothy S. Woodbury; my business address is 16313 North Dale Mabry  
9                 Highway, Tampa, Florida 33618.

10          **I.     QUALIFICATIONS**

11          **Q.     What is your current position?**

12          A.     I am Vice President of Strategic Services at Seminole Electric Cooperative, Inc.  
13                 ("Seminole"). I have held the title of Vice President at Seminole since December 14,  
14                 1995. My responsibilities include, among other things, managerial oversight for  
15                 activities related to rate design and development, strategic planning, power  
16                 marketing, and the acquisition and administration of purchased power and  
17                 transmission service contracts. I was the principal negotiator for Seminole in the  
18                 development of the definitive Power Purchase Agreement, or PPA, between Calpine  
19                 Energy Services, L.P. ("Calpine") and Seminole regarding the purchase and sale of  
20                 capacity and energy from Calpine's Osprey Energy Center ("Osprey Project").

21          **Q.     Please briefly describe your professional and academic background.**

22          A.     I have over twenty-three years of experience in the electric utility business. Prior to  
23                 my employment at Seminole in August 1979, I was employed as an economist by  
24                 Duke Power Company, and I worked in areas of rates and load forecasting. I have

1 a Bachelor of Science in Financial Management and a Master of Arts in Economics  
2 from Clemson University.

3 **Q. Have you previously testified on behalf of Seminole before regulatory agencies?**

4 A. Yes. I have provided written testimony and testified on behalf of Seminole before  
5 the Federal Energy Regulatory Commission ("FERC") and the Florida Public Service  
6 Commission ("FPSC") in a number of different regulatory proceedings concerning  
7 a variety of issues relating to my areas of responsibility at Seminole.

8 **II. PURPOSE OF TESTIMONY**

9 **Q. What is the purpose of your testimony?**

10 A. My testimony has several purposes. First, I will describe Seminole. Second, I will  
11 provide an overview of the planning analyses that Seminole employed to identify its  
12 need for capacity in the 2004 time frame and the competitive process it used to  
13 determine that Calpine's proposal is the best alternative available to satisfy that need.  
14 I will introduce the witnesses for Seminole who conducted those analyses and who  
15 will support Seminole's conclusions. I will explain how the purchase of firm  
16 capacity and energy from Calpine will fit into Seminole's overall system. Finally,  
17 I will generally describe the advantages and benefits to Seminole of the terms and  
18 conditions contained in the PPA between Calpine and Seminole.

19 **Q. Are you sponsoring any exhibits in this case?**

20 A. Yes. I have attached to my testimony Exhibits Nos. \_\_\_\_ (TSW-1)-(TSW-2). I am  
21 also sponsoring Sections A, B, and C (6) of Volume I of the Amended Exhibits to the  
22 Amended Joint Petition as well as Appendix I-C, the Power Purchase Agreement.

23 **III. BACKGROUND**

24 **Q. Please provide a brief overview of Seminole and its Members.**

1 A. Seminole is a non-profit Generation and Transmission Cooperative organized under  
2 Chapter 425 of the Florida Statutes. Each of Seminole's Members is a distribution  
3 cooperative serving end users in Florida. Seminole was incorporated in 1948 to  
4 provide unified representation for its Members in wholesale purchased power  
5 negotiations.

6 **Q. Which distribution cooperatives in Florida are Members of Seminole?**

7 A. Seminole's Members are Central Florida Electric Cooperative ("Central"), Clay  
8 Electric Cooperative ("Clay"), Glades Electric Cooperative ("Glades"), Lee County  
9 Electric Cooperative ("LCEC"), Peace River Electric Cooperative ("Peace River"),  
10 Sumter Electric Cooperative ("Sumter"), Suwannee Valley Electric Cooperative  
11 ("Suwannee"), Talquin Electric Cooperative ("Talquin"), Tri-County Electric  
12 Cooperative ("Tri-County"), and Withlacoochee River Electric Cooperative  
13 ("Withlacoochee"). The Members serve over 680,000 end use consumers in 45  
14 counties throughout the state. The map attached as Exhibit No. \_\_\_ (TSW-1) shows  
15 the location in the state of the areas served by Seminole's Members.

16 **Q. Please describe Seminole's activities on behalf of its Members.**

17 A. Seminole's activities were limited until 1974 when, following the 1973 oil embargo,  
18 its Board of Trustees determined that it should develop independent power supplies  
19 for the Members. In 1975, each Member entered into a long term contract with  
20 Seminole for the purchase of wholesale power ("Wholesale Power Contract" or  
21 "Contract"). The Wholesale Power Contracts require each Member to purchase from  
22 Seminole all of its power requirements for distribution within the State of Florida not  
23 otherwise supplied under pre-existing contracts.

24 **Q. Are there currently any applicable pre-existing contracts?**

1 A. Yes. Four of Seminole's Members have pre-existing contracts with the Southeastern  
2 Power Administration ("SEPA") for a combined 26 MW of capacity. The capacity  
3 supplied from SEPA to these Members represents less than 1% of Seminole's  
4 Members' total capacity requirements.

5 **Q. What is the term of the Wholesale Power Contracts between Seminole and its**  
6 **Members?**

7 A. The Wholesale Power Contracts have an initial term of forty-five (45) years (i.e.,  
8 through May 22, 2020). Thereafter, each Contract may be terminated upon three  
9 years' written notice by the party desiring termination.

10 **Q. Please describe Seminole's current portfolio of power supply resources.**

11 A. Seminole constructed and operates two nominally rated 650 MW coal-fired  
12 generating units ("Seminole Plant") in Putnam County, Florida. These units supply  
13 nearly 75% of the Members' energy requirements. The first of the two units began  
14 commercial operation on January 31, 1984; Unit No. 2 began commercial operation  
15 on December 31, 1984. Seminole also owns a 1.6994% (approximately 15 MW)  
16 undivided interest in Crystal River Unit No. 3 ("CR3"), an 890 MW nuclear power  
17 plant operated by Florida Power Corporation ("FPC"). The Seminole Plant is  
18 connected to the Florida bulk power grid at three locations through five 230 kilovolt  
19 ("kV") circuits and associated facilities. From these interconnections, Seminole  
20 transmits the output of the Seminole Plant to the Member delivery points and to other  
21 purchasers through the transmission systems of FPC and Florida Power & Light  
22 Company ("FPL"). The Seminole Plant is also tied directly to approximately 300  
23 MW of Member load through Seminole's own 230 kV transmission facilities.

24 Seminole also has a contract with Siemens-Westinghouse and Overland  
25 Contracting to construct a new combined cycle facility ("Payne Creek") to be located

1 in Hardee County. Payne Creek, a 500 MW nominally rated facility, has an expected  
2 in-service date of January 2002.

3 In addition, Seminole has numerous short and intermediate term purchased  
4 power contracts with other entities in the state which provide for intermediate and  
5 peaking needs as well as reserves. Exhibit No. \_\_\_\_\_ (TSW-2) provides a summary  
6 of these purchased power resources.

7 **Q. Please describe Seminole's electrical interconnections and transmission**  
8 **facilities.**

9 A. Seminole owns 52 miles of 230 kV double circuit transmission line from the  
10 Seminole Plant to the Silver Springs North Switching Station, eight miles of 230 kV  
11 double circuit line from the Seminole Plant to FPL's Rice Substation, and nine miles  
12 of 230 kV double circuit line from the Hardee Power Station ("HPS") to FPC's  
13 Vandolah Substation. Seminole also owns 78 miles of 230 kV single circuit  
14 transmission line from the HPS to Lee County Electric Cooperative's Lee Substation  
15 (which is also an interconnection with FPL), and 63 miles of 230 kV single circuit  
16 line from the Seminole Plant to an interconnection with Jacksonville Electric  
17 Authority at the Clay-Duval County line. Seminole jointly owns, with FPC, two tie  
18 lines from Silver Springs North to FPC's Silver Springs Substation. Seminole also  
19 owns fourteen 69 kV transmission lines, which total 143.2 miles in length.

20 **Q. Is Seminole represented on the Florida Reliability Coordinating Council?**

21 A. Yes, Seminole participates actively within the Florida Reliability Coordinating  
22 Council.

23 **Q. Please elaborate on the relationship between Seminole and its Members.**

24 A. Seminole serves the electric service needs of its Members, all of which are engaged  
25 in the sale of electricity to end use customers who are, in turn, the Members'

1           respective owners/members. Therefore, like Seminole, each Member that Seminole  
2           serves is owned by and is answerable to its owners/customers. Seminole's governing  
3           Board of Trustees consists of representatives from the boards of the Members as well  
4           as each Member's general manager. Seminole's Board of Trustees consists of two  
5           voting trustees and one alternate from each of the ten Members. In short, the  
6           cooperative form of business is very different from that of an investor-owned utility.  
7           Investor-owned utilities must balance the often competing interests of shareholder  
8           and customer. In the case of cooperatives such as Seminole, customers' and owners'  
9           interests are one and the same.

10       **Q.    Please elaborate on the areas served by Seminole's Members.**

11       A.    Seminole's Members provide service to approximately half of peninsular Florida's  
12           land area. As a result, Seminole's overall service area experiences a variety of  
13           geographic and weather conditions that provide for a diverse mix of economic  
14           activity and demographic characteristics. All end use consumer classes have shown  
15           strong growth. Seminole's overall growth rate has consistently exceeded the growth  
16           experienced by most, if not all, of the other utilities in Florida. Over 90% of the  
17           combined end use consumers served by Seminole's Members are residential. This  
18           class of consumers accounts for over 70% of the Members' total energy  
19           requirements.

20       **IV.   SEMINOLE'S PLANNING PROCESS**

21       **Q.    Generally describe Seminole's planning process.**

22       A.    Our planning process involves an examination of current data and of assumptions  
23           about future conditions, coupled with an analysis of how potential additions would  
24           mesh with the existing system under those future conditions. Two important inputs  
25           to the process are the assumptions about system load growth and future fuel prices.

1 In this proceeding, Bob Woodall will testify concerning the fuel price forecast that  
2 was employed in the analysis that led Seminole to identify a need for capacity in  
3 2004. Bill Lawton will address the methodology that Seminole and its Members  
4 used to project future peak demand and energy requirements, and will report the  
5 results of the load growth study.

6 Given assumptions about load growth, energy consumption, fuel prices, and  
7 the known capabilities of current resources, it is possible to model or simulate the  
8 system over time, and to measure both the reliability of the system and the cost of  
9 providing service associated with alternative power supply options. In this way,  
10 Seminole determines when load growth, the expiration of contracts, plant  
11 retirements, and/or other changes will overcome the ability of the system to meet  
12 Members' needs with an acceptable level of reliability, and Seminole identifies the  
13 appropriate type, size, and timing of the next capacity addition. Garl Zimmerman  
14 will describe in his testimony the analysis that Seminole made of the capabilities of  
15 existing resources to meet future requirements. He will quantify the need that the  
16 analysis identified. Finally, he will describe in detail the Request for Proposals  
17 ("RFP") that Seminole issued, the responses obtained, and the evaluation of  
18 responses that led Seminole to conclude that the Calpine Osprey Project best meets  
19 Seminole's needs.

20 **Q. Earlier you identified the power purchase agreements that comprise a portion**  
21 **of Seminole's existing supply portfolio. When Seminole gauges the capabilities**  
22 **of existing resources during its planning exercises, do any of these contracts**  
23 **present special considerations?**

24 **A. Yes. Unlike the more typical unit power or system power transactions, which**  
25 **provide the purchaser with blocks of available power, the partial requirements service**



1 that Seminole receives from FPC and our contractual arrangement with TECO Power  
2 Services for the purchase of capacity from the Hardee Power Station both have some  
3 unique features. Those features were designed to, and do, serve valuable purposes  
4 specific to the needs of Seminole's system. However, because they are different from  
5 the typical power supply arrangement, they also add a degree of complexity to our  
6 planning efforts.

7 **Q. Please provide an overview of the partial requirements service that Seminole**  
8 **receives from FPC and explain how it affects the planning of Seminole's system.**

9 A. In 1983, Seminole executed a long term contract covering partial requirements  
10 ("PR") and transmission service with FPC ("Agreement"). The Agreement has an  
11 initial term through 2013. The Agreement obligates Seminole to supply the  
12 Members' aggregate load in FPC's control area, up to a specified MW commitment  
13 level ("Capacity Commitment"), using resources it owns or otherwise acquires. FPC,  
14 in turn, is obligated to supply Seminole's load requirements in excess of this  
15 commitment level from its system resources under PR rates contained in the  
16 Agreement. Said differently, in contrast to the more typical "block of power"  
17 arrangement, under the PR contract FPC provides a *load following* service.  
18 Consequently, when planning the system, Seminole does not plan to meet the peak  
19 load requirements of Members located in FPC's control area. Under the Agreement,  
20 Seminole has the ability, with three years' notice, to increase the Capacity  
21 Commitment by 150 MW; by giving five years' notice, increase the commitment  
22 level by 470 MW; and, by giving seven years' notice, increase the Capacity  
23 Commitment in any future calendar year without limitation. Accordingly, in its  
24 planning, Seminole must analyze the most cost-effective manner to serve its Capacity  
25 Commitment in FPC's control area. It must also consider the most cost-effective

1 Capacity Commitment level by comparing the differences between the cost of  
2 continuing PR purchases and the cost of other alternative power supply resources,  
3 either owned or purchased.

4 **Q. Please describe the principal features of Seminole's contractual arrangement**  
5 **with TECO Power Services.**

6 A. Under this contract Seminole has "first call" on 295 MW of capacity from the Hardee  
7 Power Station when Seminole experiences an outage (partial or full) of one of its  
8 coal-fired base load units, Seminole 1 and Seminole 2, or of its Crystal River 3  
9 resource.

10 **Q. Why is this feature novel for planning purposes?**

11 A. Under a typical purchase of system or unit power, the availability of the purchased  
12 capacity is limited only by the extent to which the source of the power is affected by  
13 outages on the seller's applicable resource(s). In the case of the Hardee Power  
14 Station purchase, the limitation is different. With regard to serving its Members'  
15 needs, the Hardee Power Station capacity is available to Seminole as a matter of  
16 contractual right, on a first call basis, when *Seminole* experiences a planned or forced  
17 outage or derating of its Seminole Plant or Crystal River 3. In other words, the  
18 contract with TECO Power Services fulfills a specific need, but there are limitations  
19 on the use of the resource. The constraint is, of course, well understood, but it is not  
20 as easily expressed or quantified in certain steps of the planning analysis. In his  
21 testimony, Garl Zimmerman will elaborate on how Seminole considers these more  
22 unusual contractual features in the planning process.

23 **V. SELECTION PROCESS**

24 **Q. Does Seminole typically employ a competitive procurement process?**

1 A. Yes. Although Seminole is not subject to this Commission's RFP rule, for years  
2 Seminole has solicited and evaluated proposals from others prior to selecting a  
3 specific capacity addition. Seminole views such a competitive process as the best  
4 way to secure the most economical source of power and also to reduce risk. In fact,  
5 to my knowledge, the RFP that Seminole issued in 1988, prior to entering a contract  
6 with TECO Power Services, was the first of its kind in Florida. Seminole has been  
7 committed to a competitive power supply procurement process since that time, and  
8 it has served Seminole's Members' interests well.

9 **VI. OVERVIEW OF THE POWER PURCHASE AGREEMENT**

10 **Q. What were Seminole's objectives in negotiating the PPA with Calpine?**

11 A. Very simply, our objective was to find a reliable source of capacity and energy that  
12 provided economic and strategic advantages relative to other available options.

13 **Q. Please describe the PPA.**

14 A. Both parties to the PPA regard the commercial details as confidential and proprietary.  
15 (The complete PPA has been submitted to the Commission under a claim of  
16 confidentiality.) However, a general description will convey the manner in which  
17 Seminole achieved its objectives. The PPA contains specific pricing provisions. The  
18 terms require Calpine to furnish the firm capacity to Seminole at very high levels of  
19 availability. Energy will be delivered to Seminole when called upon by Seminole  
20 subject to specific scheduling provisions. The PPA provides for the purchase and  
21 sale of 350 MW of firm capacity and associated energy during the period 2004-2020,  
22 subject to periodic contractual "reopeners."

23 **Q. Given these reopener provisions, what is the minimum term over which the**  
24 **agreement might remain in effect?**

1 A. The minimum term is five years from the later of the commercial operation date of  
2 the Osprey unit, and June 1, 2004.

3 **Q. Does Seminole have options to acquire greater amounts of capacity than the**  
4 **initially specified 350 MW amount?**

5 A. Yes. In addition to the 350 MW of firm capacity, Seminole has the right to acquire  
6 optional firm capacity in any amount, up to the full remaining generating capability  
7 of Calpine's Osprey unit, to the extent Calpine has not sold such capacity on a firm  
8 basis to another party at the time Seminole exercises its option. Seminole must give  
9 notice of its decision to exercise its option to purchase such additional capacity 6  
10 months ahead of time. The optional firm capacity designated in this notice by  
11 Seminole would then be secured for Seminole in twelve month increments.

12 **VII. STRATEGIC CONSIDERATIONS**

13 **Q. Please identify the strategic advantages to which you referred earlier.**

14 A. First, by contracting with Calpine, Seminole is able to secure 350 MW of needed  
15 firm capacity and associated energy at a cost that reflects the economies of scale  
16 associated with a new 500 MW class, efficient combined cycle facility. Second, the  
17 "reopener" provision enables Seminole to renegotiate, and if such negotiations are,  
18 in Seminole's view, unsuccessful, terminate the PPA after any 60-month period--a  
19 valuable advantage over any self-build option. By acquiring 350 MW, Seminole will  
20 gain the flexibility of either terminating (with advance notice of three years) a more  
21 expensive purchase from FPC, or of maintaining (perhaps at a reduced level) the  
22 purchase from FPC as an additional contribution to reliability and a hedge against  
23 unforeseen contingencies. The ability to acquire "optional firm capacity" further  
24 enhances Seminole's flexibility to meet changes in circumstances over time. Taking  
25 into account the committed capacity and the reserved firm capacity option provision,

1 Seminole has negotiated the ability to avail itself of the full capacity of the Osprey  
2 Project, subject only to the possibility of firm commitments to others made prior to  
3 Seminole's exercise of its option. Under the terms to which Calpine and Seminole  
4 have agreed, Seminole may elect to purchase energy from the Osprey project and  
5 resell it in the wholesale market. This ability provides Seminole with a potential  
6 opportunity to reduce its Members' revenue requirements by realizing margins on  
7 off-system sales during periods when more economical energy is available to  
8 Seminole or when its Members' requirements do not support the full utilization of  
9 its rights to the Osprey unit. Finally, unlike some of the other options--including  
10 Seminole's self-build option--Calpine intends to bring the Osprey unit on line in  
11 advance of the time when Seminole will require the capacity to maintain standards  
12 of reliability. For that reason, the arrangements with Calpine reduce the risk that the  
13 selected capacity may not be in place in the time frame required by Seminole.

14 **Q. Please summarize your direct testimony.**

15 A. Seminole's system is unique in Florida. The arrangements between Calpine and  
16 Seminole are designed to meet the needs of that system well. In addition to being the  
17 lowest cost alternative available to Seminole, Calpine and Seminole have agreed to  
18 non-price terms and conditions that provide valuable strategic advantages to  
19 Seminole.

20 **Q. Does this conclude your direct testimony?**

21 A. Yes.

22

23

24

1 **BY MR. McGLOTHLIN:**

2 **Q Mr. Woodbury, have you prepared a summary?**

3 **A Yes, I have.**

4 **Q Would you summarize your testimony for the**  
5 **Commissioners, please.**

6 **A Yes. Seminole Electric Cooperative is a**  
7 **nonprofit generation transmission cooperative. Seminole**  
8 **serves the electric needs of its ten Member cooperatives**  
9 **who have retail member-consumers located throughout**  
10 **roughly one half of the land area of Peninsular Florida.**

11 **All the Members are represented on Seminole's**  
12 **Board of Trustees. In addition, all the Members are**  
13 **engaged in the sale of electricity to end use consumers**  
14 **who are also their owner/members. Therefore, just as**  
15 **Seminole is owned by and answerable to its Members, each**  
16 **Member that Seminole serves is owned by and answerable to**  
17 **its retail member-consumers.**

18 **Unlike conventional utilities, in Seminole's**  
19 **case, the consumers' interest and the owners' interest are**  
20 **one in the same. Seminole supplies its Members' needs**  
21 **with a portfolio of owned and purchased resources.**

22 **Seminole's units include two 600-megawatt coal-fired**  
23 **Seminole units and 15-megawatt undivided interest in**  
24 **Crystal River 3. Presently, Seminole is constructing a**  
25 **new 500-megawatt unit combined cycle facility, Payne**

1 **Creek, of which the Commission gave us a need**  
2 **determination in 1994.**

3 **Over time, Seminole has negotiated with numerous**  
4 **wholesale power suppliers; some of which we've got some**  
5 **arrangements which contain unique features. Seminole has**  
6 **a first call on capacity from the TECO Power Services'**  
7 **Hardee Unit whenever one of Seminole's existing units**  
8 **experiences a planned or forced deration or outage.**  
9 **Seminole has a partial requirements, or I'll refer to it**  
10 **sometimes as a PR contract, with Florida Power Corporation**  
11 **that enables Seminole to specify the capacity it will**  
12 **serve in FPC's transmission control area, and we purchase**  
13 **load following service from FPC for any loads above this**  
14 **specified capacity level.**

15 **This load following aspect of the partial**  
16 **requirements service is important to Seminole's planning**  
17 **process since FPC has a contractual responsibility to**  
18 **provide the reserves needed to respond to load growth and**  
19 **load volatility caused by unusual weather patterns for all**  
20 **of Seminole's Member load covered under that agreement.**

21 **To my knowledge, the RFP that Seminole issued in**  
22 **1998, prior to entering into the contract with TECO Power**  
23 **Services, was the first of its kind in Florida. Seminole**  
24 **views the competitive bidding process as the best way to**  
25 **secure the most economical source of power and also to**

1 reduce risk, and has used this process since 1988.

2           **The purchased power agreement that Seminole**  
3 **negotiated with Calpine contains valuable features.**  
4 **Calpine's commitment to Seminole consists of 350 megawatts**  
5 **of firm capacity plus option rights that Seminole may**  
6 **exercise to obtain up to the full amount of capacity for**  
7 **which the unit is capable on a firm basis subject only to**  
8 **notice requirements in any other prior sales.**

9           **The contractual terms and conditions**  
10 **establishing Seminole's rights to call on the optional**  
11 **capacity and energy are fully in place. The optional**  
12 **capacity is available to Seminole as of the Osprey Unit's**  
13 **commercial in-service date. The option feature gives**  
14 **Seminole considerable flexibility with which to meet its**  
15 **future needs which is important in this environment of**  
16 **uncertainty and rapid change.**

17           **The PPA gives us the advantage of favorable**  
18 **pricing possible only with the economies of scale**  
19 **associated with a 500-megawatt class unit. The agreement**  
20 **contains periodic reopener provisions that will enable**  
21 **Seminole to ensure that the terms and conditions remain**  
22 **favorable in the then existing market.**

23           **Further, Calpine's plan to bring the Osprey Unit**  
24 **on-line in 2003 reduces the risk that Seminole might be**  
25 **unable to supply capacity its Members in the time frame it**



1 is needed relative to other alternatives. It also  
2 provides Seminole with the added reliability protection of  
3 having additional capacity available should market  
4 conditions change.

5 We respectfully request that the Commission  
6 approve our joint application for determination of need.  
7 And this concludes my summary.

8 MR. McGLOTHLIN: Mr. Woodbury is available for  
9 questions.

10 MR. WRIGHT: No questions, Mr. Chairman.

11 CHAIRMAN JACOBS: Staff?

12 MS. ISAAC: No questions.

13 CHAIRMAN JACOBS: My questions were probably the  
14 reason that they had you come in, Mr. Woodbury. You  
15 indicated that in your analysis you look at present load  
16 forecast and you look at -- particularly you look at fuel  
17 to provide these -- in this analysis.

18 My concern goes to the idea that in determining  
19 on this build option whether or not there are appropriate  
20 demand-side measures that would be appropriate, and what  
21 we're seeing now pretty much from all the applications  
22 that come in is that there are no conservation measures  
23 and very few demand-side measures that will be  
24 cost-effective. Is that consistent with your analysis?

25 THE WITNESS: No, sir. I think we've got, in my

1 view, a significant amount of demand-side management  
2 across our system. And our Member systems currently have  
3 demand-side management programs that control -- if you  
4 include also the interruptable feature -- interruptible  
5 service that we've got arrangements with them for  
6 interruptable service as well as demand-side management in  
7 excess of 130 megawatts of loads under control at the time  
8 of peak.

9           **We have designed our rate schedules with our**  
10 **Member systems to send the proper signal to the Members as**  
11 **to what the value is of serving -- of saving a megawatt**  
12 **through load management. And we think it provides the**  
13 **proper incentives for the Members to evaluate what**  
14 **cost-effective load management should be in place on the**  
15 **system. So I think on a go-forward basis, we have**  
16 **established our rates to give the proper incentives to the**  
17 **Members to engage in DSM activities.**

18           **CHAIRMAN JACOBS: Could you walk me through --**  
19 **I'm interested because -- your relationship with your**  
20 **Members here is what is of interest to me. And the idea**  
21 **that you can convey to those Members and then those**  
22 **Members convey to their retail users these signals, that's**  
23 **really important, I think.**

24           **THE WITNESS: Yes.**

25           **CHAIRMAN JACOBS: Could you kind of walk me**

1 through that process and how it works?

2           **THE WITNESS:** Yes. One other thing I'd like to  
3 point out to you, Commissioner Jacobs, is that in our RFP  
4 that we issued one of the things that we did was, we  
5 opened the bidding up to demand-side management  
6 alternatives. We didn't just look for supply-side  
7 alternatives. So we asked the marketplace to come to us  
8 with either supply-side options or demand-side options.  
9 We didn't get demand-side options bid to us, but that  
10 doesn't mean we're not doing demand-side management within  
11 our system.

12           Now, to your question on how we set up our  
13 rates. Essentially what we do in pricing our wholesale  
14 power to our Member systems is to send them a signal by  
15 charging them a demand charge that's tied to our  
16 coincident peak demand as a system, which is what Seminole  
17 plans for with regard to future peaking resources or  
18 intermediate sources that it's going to have. We look at  
19 what our monthly peaks are during the peak's peak months.  
20 The off-peak months don't really have a bearing on our  
21 system.

22           So we send them a signal as to what the  
23 incremental cost of capacity is on the Seminole system  
24 during those peak months. And in our case, the demand  
25 chart that we have is roughly \$8.50 a kW month during the

1 **eight peak months of the year, summer and winter.**

2 **If you were to annualize that on a 12-month**  
3 **basis, that would be roughly, you know, 8.50 times**  
4 **8 divided by 12 would give you something in the**  
5 **neighborhood of \$5.60 a kW month, which we think is pretty**  
6 **representative of an annualized cost for a combined cycle**  
7 **unit/peaking unit. So the Member systems, in terms of**  
8 **implementing load management at the retail level, look at**  
9 **that signal, and they say, I've got to do two things to**  
10 **reduce a megawatt at the time of Seminole's peak. I have**  
11 **to put in some load management equipment that costs me**  
12 **money, and I have to give a retail customer an incentive**  
13 **to want to be inconvenienced.**

14 **If the sum of those two things, those costs to**  
15 **the Member, or how do they compare to the rate signal that**  
16 **they're getting from Seminole, suggests that it's a good**  
17 **decision to do those two things, then they'll do them.**  
18 **And if they don't, they won't. So that's what we view is**  
19 **cost-effective load management. It does not pay the**  
20 **Member systems. It's not a good economic judgment for**  
21 **society as a whole for somebody to spend \$9 a kW month to**  
22 **avoid putting in a \$5 per kW month unit.**

23 **CHAIRMAN JACOBS: Okay. Very well. Now,**  
24 **turning to conservation measures. What we've seen in**  
25 **other applications -- recent applications is that because**

1 of what has been the price of gas going into the gas  
2 units, there have been few, if any, conservation measures  
3 that have proven to be cost-effective and, therefore, to  
4 offset the new increment. Is that consistent with your  
5 analysis?

6 **THE WITNESS:** Well, in this particular case,  
7 we're looking for a combined cycle unit to meet an  
8 intermediate portion of our load curve. And our belief  
9 is, is that even if you were to take our low load  
10 forecast, which is roughly 10 percent below our base on  
11 the energy side, just knock off 10 percent of the energy  
12 requirements, that we would still have the need for this  
13 combined cycle unit on our system. So even additional  
14 amounts of energy conservation, per se, would not alter  
15 our decision relative to the need for this plant.

16 **CHAIRMAN JACOBS:** And then one final question.  
17 Do you do an analysis that would indicate at what -- and  
18 let me step back for a moment. You are probably aware  
19 that the gas market has been fairly volatile --

20 **THE WITNESS:** Yes.

21 **CHAIRMAN JACOBS:** -- and the prices have been  
22 moving around.

23 And, therefore, at any given point when you do  
24 your analysis, would -- the price of gas at that time  
25 could have a very immediate impact on what conservation

1 measures are proven to be cost-effective. Do you do an  
2 analysis which pinpoints particular conservation measures  
3 at particular price points of gas?

4 In other words, at what price of gas would  
5 certain measures be cost-effective, and therefore, you  
6 would want to look again at whether or not you should  
7 project out further for avoiding the unit?

8 THE WITNESS: Well, in this particular case,  
9 Commissioner, the alternatives that we were weighing  
10 Calpine against were all gas-fired, combined cycle units.  
11 So it's an unfortunate fact of life that we are in what we  
12 view is a relatively short-term spike in the gas market,  
13 but we don't want to overreact as a result of that  
14 short-term spike.

15 The alternatives that we had were, we did not  
16 have an alternative to go out and build a coal-fired unit.  
17 We need the capacity. We need it by the summer of 2004.  
18 We like the option of being able to call on it earlier by  
19 having Calpine get the unit in commercial operation as  
20 soon as possible. But we don't think that as a practical  
21 matter looking at the sensitivities would have any bearing  
22 on our need for the capacity because there were really no  
23 other alternatives at this juncture.

24 CHAIRMAN JACOBS: Thank you. That's all the  
25 questions I have. Commissioners, any questions?

1                   **COMMISSIONER DEASON:** Just a couple of quick  
2 questions. What would be Seminole's reserve margin with  
3 the unit and without the unit in 2004?

4                   **THE WITNESS:** Mr. Zimmerman was our witness  
5 here, but I think I asked him to give me that information.

6                   **COMMISSIONER DEASON:** 2004 is the first year of  
7 full operation; is that correct?

8                   **THE WITNESS:** Yes. With Calpine and including  
9 the Florida Power Corporation 150-megawatt intermediate  
10 purchase that we have referred to in Mr. Zimmerman's  
11 testimony, I believe in 2004, subject to Mr. Zimmerman  
12 confirming I'm correct, the reserve margin would be  
13 25 percent in that first year.

14                   **COMMISSIONER DEASON:** And is that based upon  
15 summer peak?

16                   **THE WITNESS:** Excuse me?

17                   **COMMISSIONER DEASON:** Is that based upon summer  
18 peak?

19                   **THE WITNESS:** That would be based on the summer  
20 need, I believe, as well, Commissioner. Again, I'd like  
21 to have Mr. Zimmerman confirm that.

22                   **COMMISSIONER DEASON:** And what would the reserve  
23 margin be without the unit in 2004?

24                   **THE WITNESS:** With no addition at all, I believe  
25 the number would be 11.6 percent.

1                   **COMMISSIONER DEASON:** And in your process of  
2 evaluating the proposals that you received, I'm sure one  
3 of the things you looked at was the reliability of the  
4 source of fuel. And what review did you undertake, and  
5 how did you conclude that this project's fuel source was  
6 going to be reliable?

7                   **THE WITNESS:** Well, that was clearly part of the  
8 analysis, Commissioner. And we believe as a package --  
9 the package deal that we negotiated with Calpine does  
10 provide us with a reliable source of fuel. Without  
11 getting into many of the specifics of the arrangement, we  
12 believe that gas will be able to be delivered to the  
13 plant. And we're confident that gas will -- we're  
14 committed to gas. We've got the Payne Creek Unit as well  
15 in Hardee County. So we believe that gas deliveries in  
16 Florida will be -- are not a high risk.

17                   **COMMISSIONER DEASON:** But this project's primary  
18 reliance is upon the Gulfstream project; is that correct?

19                   **THE WITNESS:** I think the way I'd characterize  
20 it, Commissioner, is, is that it's not dependent on the  
21 Gulfstream Project.

22                   **COMMISSIONER DEASON:** If that project comes  
23 about, then that can be a source, but it's not the only  
24 source.

25                   **THE WITNESS:** That would be a fair



1 characterization.

2 COMMISSIONER DEASON: Okay.

3 CHAIRMAN JACOBS: Any questions? All right.

4 Thank you.

5 MR. McGLOTHLIN: May I have just one on  
6 redirect?

7 CHAIRMAN JACOBS: I'm sorry. Go ahead.

8 REDIRECT EXAMINATION

9 BY MR. McGLOTHLIN:

10 Q Mr. Woodbury, you had referred to the rate  
11 design that Seminole established would send price signals  
12 to its Members. Has Seminole undertaken any additional  
13 initiatives designed to ensure that Seminole and its  
14 Members investigate the availability of load management?

15 A Yes. One of the things that we do,  
16 Commissioner, and have done since, oh, the mid '80s is,  
17 we've set up a load management working group with our  
18 Member systems where we routinely meet, analyze the  
19 effectiveness of our load management programs, and try to  
20 jointly develop ways to improve those load management  
21 programs over time. So we have set up those kinds of  
22 internal mechanisms within Seminole and its Member systems  
23 to be able to ensure that load management is being  
24 conducted in an effective manner.

25 Q And in response to Commissioner Deason, you said

1 that Seminole's reserve margin would be in the mid  
2 twenties, summer peak, if one includes the 150-megawatt  
3 FPC contract. Would you elaborate briefly on the role  
4 that FPC contract plays in Seminole's portfolio?

5 A The system intermediate purchase that I referred  
6 to is a real valuable resource to us. It's priced  
7 slightly higher than Calpine as a resource on our system,  
8 but we have the -- again, one of the things that Seminole  
9 tries to do in all of its power supply arrangements is to  
10 develop optionality to give us flexibility to react in a  
11 changing environment. And that contract gives us the  
12 right on three years' notice to terminate or reduce that  
13 quantity.

14 So we're still constantly evaluating whether or  
15 not to retain that arrangement at the 150-megawatt level,  
16 so that's why I wanted to clarify that that was in there  
17 and the number that I was giving out.

18 Q So given that option, is your reserve margin  
19 necessarily going to be as high as 25 percent?

20 A It might not be.

21 MR. McGLOTHLIN: No further questions.

22 CHAIRMAN JACOBS: Any further questions? You're  
23 excused, Mr. Woodbury.

24 (Witness excused.)

25 MR. McGLOTHLIN: I move Composite Exhibit 1.

1                   **CHAIRMAN JACOBS: Without objection, show**  
2 **Exhibit 1 is admitted.**

3                   **(Exhibit 1 admitted into the record.)**

4                   **CHAIRMAN JACOBS: So we'll proceed now with the**  
5 **other witnesses. Staff.**

6                   **MS. ISAAC: We don't have any more questions**  
7 **unless you have questions for Mr. Eves.**

8                   **CHAIRMAN JACOBS: Okay. No, I don't, unless any**  
9 **other Commissioner has. Very well. So why don't we**  
10 **start -- I guess we'll start with Seminole Calpine**  
11 **witnesses, and we'll just go down the list.**

12                   **MR. McGLOTHLIN: If it's appropriate,**  
13 **Chairman Jacobs, I'd like to move that Mr. Zimmerman's**  
14 **prefiled testimony be incorporated into the record as**  
15 **though read.**

16                   **CHAIRMAN JACOBS: Without objection, show**  
17 **Mr. Zimmerman's testimony entered into the record as**  
18 **though read.**

19                   **MR. McGLOTHLIN: I'd like to note that this**  
20 **morning I gave the court reporter two replacement pages,**  
21 **making small changes to the prefiled testimony. The**  
22 **first change on Page 3 reflects that Mr. Zimmerman**  
23 **supplied an additional exhibit, so he has six exhibits**  
24 **instead of five.**

25                   **And on Page 15, we've changed a reference to a**

1 memorandum of understanding to the purchased power  
2 agreement. Those have been given to the court reporter  
3 already.

4 (NOTE: Attorney McGlothlin misspoke; the  
5 changes occur on Page 16 instead of Page 15 of  
6 Mr. Zimmerman's direct testimony.)

7 So at this point, I move -- I ask that  
8 Mr. Zimmerman's Exhibits 1 through 6 be given an  
9 identification number.

10 CHAIRMAN JACOBS: Well, before we do that, we  
11 should make sure that the testimony is as amended.

12 MR. MCGLOTHLIN: Yes.

13 CHAIRMAN JACOBS: Okay. So Mr. Zimmerman's  
14 testimony is as amended. And his Exhibits GSZ-1 through  
15 GSZ-6 now?

16 MR. MCGLOTHLIN: That's correct.

17 CHAIRMAN JACOBS: And we will make that  
18 Composite Exhibit 2.

19 (Exhibit 2 marked for identification.)

20 MR. MCGLOTHLIN: I move Composite Exhibit 2.

21 CHAIRMAN JACOBS: Without objection, show  
22 Exhibit 2 admitted.

23 (Exhibit 2 admitted into the record.)

24

25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
2                   **DIRECT TESTIMONY AND EXHIBITS OF GARL S. ZIMMERMAN**  
3                   **ON BEHALF OF SEMINOLE ELECTRIC COOPERATIVE, INC.**  
4                   **DOCKET NO. 00174SEC**  
5                   **DECEMBER 4, 2000**

6  
7           **Q.    Please state your name and business address.**

8           A.    My name is Garl S. Zimmerman. My business address is 16313 North Dale Mabry  
9                   Highway, Tampa, Florida 33618.

10          **Q.    By whom are you employed and in what position?**

11          A.    I am employed by Seminole Electric Cooperative, Inc. ("Seminole"), as Manager of  
12                   System Planning.

13          **Q.    Please describe your duties with Seminole.**

14          A.    In my capacity as Manager of System Planning, I am responsible for generation and  
15                   transmission planning. My duties include coordination of our generation and  
16                   transmission planning with other departments within Seminole and with other  
17                   utilities. My responsibilities include evaluating various power supply proposals that  
18                   Seminole receives and making recommendations to Seminole's management on the  
19                   subjects of entering purchase contracts and/or building Seminole's own generating  
20                   units.

21                                   **QUALIFICATIONS AND EXPERIENCE**

22          **Q.    Please summarize your educational background.**

23          A.    I received a Bachelors degree in Electrical Engineering from the University of  
24                   Florida in 1964.

1 **Q. Please summarize your employment history and work experience.**

2 A. I have 32 years of experience in the electric power industry. In 1965, I worked for  
3 Tampa Electric Company as a distribution engineer. From 1966 through 1969, I  
4 served as a communications officer in the U.S. Air Force and returned to Tampa  
5 Electric in 1970 where I worked as an engineer and senior engineer in power plant  
6 engineering, substation engineering and power plant construction. In 1981, I joined  
7 Seminole Electric Cooperative as System Protection Engineer. I assumed my present  
8 position as Manager of System Planning approximately 10 years ago.

9 In addition to my duties at Seminole, I am active in a number of industry  
10 activities. Within the Florida Reliability Coordinating Council ("FRCC"), I serve as  
11 the Chair of the Compliance Working Group and as Seminole's alternate member of  
12 the Engineering Committee. I also serve as the FRCC representative on the North  
13 American Electric Reliability Council's Compliance Review Working Group.

14 **Q. Do you hold any professional certifications or memberships in any professional  
15 organizations?**

16 A. I am a registered Professional Engineer in the State of Florida and a Senior Member  
17 of the Institute of Electrical and Electronic Engineers ("IEEE") Power Engineering  
18 Society.

19 **SUMMARY AND PURPOSE OF TESTIMONY**

20 **Q. What is the purpose of your testimony?**

21 A. In my testimony I will provide an overview of Seminole's generation planning  
22 process; identify Seminole's next need for capacity; describe Seminole's all source

1 bidding process; provide a summary of the economic analysis performed in the  
2 evaluation of the proposals; and discuss the consequences that would attend a delay  
3 in the plan to meet the identified need. In doing so, I will discuss the overall  
4 methodology that Seminole uses for planning, including our reliability criteria and  
5 our review of generating technologies. I will provide information on the detailed  
6 analysis that Seminole performed to determine that the Calpine proposal is the best  
7 alternative to meet our identified need.

8 **Q Are you sponsoring any exhibits to your testimony?**

9 A. Yes. Attached are my Exhibit Nos. \_\_\_ - \_\_\_ (GSZ-1 - GSZ- 6). In addition, I am  
10 sponsoring the following portions of Volume I of Exhibits to the Joint Petition:  
11 Subparts 1 through 5 of Section C, including the tables and figures therein, and  
12 Appendix I-B (the RFP).

13 **Q. Please summarize Seminole's resource planning process.**

14 A. As Seminole witness Tim Woodbury describes in his testimony, Seminole provides  
15 electrical power to ten Member cooperatives. Seminole's primary long-range  
16 planning goal is to develop the most cost-effective way to meet its Members' load  
17 requirements while maintaining high system reliability. Seminole's process for  
18 optimizing the selection of resources is based primarily on a measurement of total  
19 revenue requirements. For a not-for-profit cooperative, revenue requirements  
20 translate directly into rates to our Member distribution cooperatives. The plan with  
21 the lowest revenue requirements is generally selected, assuming that other factors,  
22 such as impact on reliability, initial rate impact, and strategic considerations, do not

1 warrant a departure from an analysis based strictly on economics. Seminole also  
2 recognizes that planning assumptions change over time. Planning decisions must be  
3 robust and are, therefore, tested over a variety of sensitivities.

4 **Q. Please summarize Seminole's reliability criteria.**

5 A. Seminole presently uses a minimum 15% system peak reserve margin as its primary  
6 reliability criterion. To meet this criterion, supply plans include adequate firm  
7 resources having a total capacity at least 15% greater than Seminole's projected  
8 maximum annual peak load obligations in each year of the planning period.  
9 (Occasionally, Seminole's share of operating reserves allocated by the FRCC  
10 requires Seminole to maintain total reserves which exceed the 15% figure; in that  
11 event, the higher figure becomes the minimum criterion.) Since the mid-1980s,  
12 Seminole has also used a 1% Expected Unserved Energy ("EUE") criterion, which  
13 historically resulted in a reserve margin greater than the 15% criterion. As  
14 Seminole's system and resources have grown and diversified, the capacity values  
15 associated with meeting each of the two criteria have approached each other and have  
16 in fact crossed over, such that the 15% reserve margin criterion presently drives  
17 Seminole's need to add capacity resources.

18 **Q. Why does Seminole use two different reliability criteria?**

19 A. Each criterion views the reliability of the system from a different, but needed,  
20 perspective. The reserve margin views the system at a point in time. It measures  
21 reliability on the basis of data that is given or assumed as of the time the  
22 measurement is made. The EUE, by contrast, is a probabilistic technique. It gauges



1 the probability that certain events will occur during a given annual period and  
2 measures the extent to which the utility conducting the analysis will likely be unable  
3 to meet end users' requirements during that period. Because of the different focus  
4 of each, there are circumstances in which the use of a single criterion may not  
5 provide a complete picture of the reliability of the system.

6 **Q. Can you provide an example?**

7 A. Yes. For instance, Mr. Woodbury mentioned in his testimony that our contractual  
8 first call right to the Hardee Power Station capacity pursuant to our contract with  
9 TECO Power Services is limited to certain factual circumstances. This contract  
10 purchase makes a significant contribution to the reliability of Seminole's system that  
11 cannot be ignored. Accordingly, Seminole's practice is to include the Hardee Power  
12 Station capacity in the calculation of Seminole's installed reserves. The alternative,  
13 given the fact that with the 295 MW of first call capacity Seminole has addressed its  
14 most critical supply contingency, would be to adopt a lower reserve margin standard.  
15 The need to make this choice illustrates the limitations on the ability of an  
16 instantaneous, deterministic calculation such as reserve margin to portray and  
17 measure the effect on the system of a first call resource that is subject to certain  
18 contingencies. On the other hand, as I mentioned earlier, the measurement of EUE  
19 is a probabilistic calculation. As the term implies, the methodology deals in terms of  
20 the probability that contingencies—such as the outages or deratings that would trigger  
21 Seminole's contract rights to Hardee Power Station capacity—will occur in the future.  
22 As such, it is better suited to quantifying the contribution of a first call resource.

1 Inasmuch as Seminole has reached the point at which it has an extremely low EUE,  
2 the reserve margin criterion will likely continue to be the first to be violated.  
3 However, the EUE calculation continues to provide a different and useful  
4 perspective.

5 **Q. Please elaborate on the analysis that led Seminole to conclude it should add**  
6 **capacity.**

7 A. Utilizing the load forecasts that we developed in conjunction with the Members, we  
8 compared the available resources with the projected loads over time. We identified  
9 the point in time when, according to the comparison, the system would not be able  
10 to meet the peak load and provide a reserve margin of 15%. Our study indicated that  
11 would first occur -- absent action on Seminole's part -- in 2004. Our projections  
12 indicated that the reserve margin would fall to 11.6% in that year and decline  
13 thereafter. The situation is portrayed in Exhibit No. \_\_\_\_\_ (GSZ-1). This table  
14 is also included in Volume I of the Exhibits to the Joint Petition.

15 **Q. What factors are projected to contribute to the impact on reserve margin in**  
16 **2004?**

17 A. Principally, load growth in Seminole's Direct Service Area and in the portion of the  
18 service area that lies within FPL's transmission control area will cause the reserve  
19 margin to decrease over time. In addition, two of our power purchase agreements  
20 will terminate in 2004: a contract with OUC for 75 MW; and a contract with JEA for  
21 53 MW. (See Tim Woodbury's Exhibit No. \_\_\_\_ (TSW-2).

22 **Q. Having determined the year in which capacity would be needed to maintain a**

1 **minimum 15% reserve margin, what was the next step in the planning effort?**

2 A. Using the PROMOD IV and PROSCREEN computer models, in which we placed  
3 unit-specific operating data and fuel costs derived from our in-house fuel forecast,  
4 we added hypothetical increments of capacity, simulated the operation of the system  
5 over time, and calculated the net present value of revenue requirements ("NPRR")  
6 associated with adding each such increment of capacity to the system.

7 **Q. What, if any, non-generating alternatives did Seminole consider in the processes**  
8 **that led it to select the Osprey Energy Center?**

9 A. Seminole's projections of its power supply needs include and reflect the effects of  
10 the energy conservation and demand-side management programs and activities of  
11 Seminole's Member cooperatives. In the simplest terms, our generation planning  
12 process assumes that our Member systems achieve their projected capacity and  
13 energy reductions through those programs and activities, such that the need shown  
14 is net of these conservation measures. The addition of the most desirable, cost-  
15 effective source of generation to satisfy the need that results from such a calculation  
16 becomes, by definition, cost-effective relative to other conservation measures.  
17 Nevertheless, as I will describe, we solicited demand-side proposals prior to deciding  
18 that Calpine's proposal is the solution of choice.

19 **Q. What types of generating capacity additions did you study?**

20 A. On a continuing basis, Seminole stays abreast of the cost and capabilities of proven,  
21 commercially viable technologies available to provide base, intermediate, or peaking  
22 capacity. These would include pulverized coal units (base); combustion turbines, oil-

1 or-gas-fired (peaking); and combined cycle units, in which a combustion turbine  
2 generator supplies exhaust heat to a heat recovery steam generator, which is coupled  
3 to a steam turbine (intermediate/base load).

4 **Q. Why do you categorize the technologies as base, intermediate, and peaking?**

5 A. Each technology is characterized by a mix of fixed costs and variable costs. As a  
6 rule, one incurs higher fixed costs only if by doing so one also reduces variable costs,  
7 such that total (fixed and variable) costs are minimized. The easy example - and one  
8 which is pertinent here - is the pulverized coal unit. The technology is proven and  
9 reliable. Coal is in ample supply and is one of the cheapest fuels available.  
10 However, the cost of installing a pulverized coal unit is very high relative to other  
11 available generating technologies. As a consequence, a coal unit would be a poor  
12 choice if indications were that it would not operate often enough to generate fuel  
13 savings sufficient to offset the high fixed costs.

14 The peaking unit is at the other end of the fixed/variable spectrum. It is  
15 comparatively inexpensive to install, but the operating costs are so high that at a  
16 relatively low level of usage another technology - the combined cycle unit - becomes  
17 more cost-effective.

18 As the term implies, the fixed costs of the intermediate technology are lower  
19 than a base load unit, but higher than a peaking unit. The efficiency of the combined  
20 cycle unit makes it attractive over a relatively wide range of capacity factors,  
21 including some that would be regarded as virtually "base-loaded" in nature.

22 **Q. Currently, what does Seminole regard to be the breakpoint capacity factors for**

1           **base loaded coal plants, intermediate combined cycle units, and combustion**  
2           **turbines used in a peaking mode?**

3       A.     As shown in my Exhibit No. \_\_\_\_\_ (GSZ-2), the breakpoint we currently use to  
4           screen the applicable technologies between peaking (combustion turbines) and  
5           intermediate (combined cycle) types of capacity is between 15% and 17%. This  
6           means that if a unit dispatches at a capacity factor greater than 15% to 17%, it should  
7           be an intermediate type of capacity rather than peaking. The screening curves for  
8           base (pulverized scrubbed coal) and intermediate (combined cycle) cross over at a  
9           capacity factor of approximately 87%, indicating that, with current capacity and fuel  
10          pricing assumptions, the combined cycle unit is the preferred technology for all  
11          applications with a capacity factor between 17% and 87%.

12       **Q.     Which types of generators did you model during the initial production costing**  
13           **simulations?**

14       A.     The simulations provided the amount of energy that would be associated with the  
15           reserve margin shortfall and the hours in which usage would occur. The economics  
16           of a pulverized coal unit are such that a much higher energy usage across more hours  
17           would be needed to overcome the high fixed costs of such a unit. Accordingly, we  
18           ruled out the pulverized coal-fired unit at an early stage. We modeled the impact of  
19           gas-fired combined cycle units and gas-fired simple cycle turbines on the system.

20       **Q.     How much generating capacity was shown to be needed by these exercises?**

21       A.     The original analysis, based on the load forecast in our 2000 Ten Year Site Plan,  
22           showed that 160 MW would be needed in 2004 to satisfy the minimum criterion of

1 a 15% reserve margin. (This amount was adjusted upward during the course of the  
2 procurement process, as I will explain.)

3 **Q. Once the need in 2004 and subsequent years had been identified, what**  
4 **happened next?**

5 A. We prepared and issued a Request for Proposals ("RFP") for purchased power and  
6 demand side offers. Simultaneously, we asked Black and Veatch to fully  
7 characterize and price a combined cycle unit and a peaking unit of the type it would  
8 build for Seminole on a turnkey basis.

9 **Q. Please describe the RFP.**

10 A. I have attached a copy of the RFP as Exhibit No. \_\_\_ (GSZ-3). Basically, we invited  
11 the full universe of interested providers—IPPs, utilities, and marketers—to present  
12 proposals designed to meet our need. As I mentioned, the RFP was an "all source"  
13 request, meaning that we would entertain demand-side proposals as well as supply-  
14 side proposals. We indicated that we would consider proposals for combined cycle  
15 and/or peaking capacity, in the range of 160 to 600 MW. The RFP specified that  
16 Seminole had a minimum need of 160 MW of intermediate type capacity, beginning  
17 May 1, 2004 and, in addition, would evaluate an additional 440 MW of capacity to  
18 displace existing power supply arrangements, beginning January 1, 2004. The RFP  
19 was posted on Seminole's website and appeared there until the conclusion of the  
20 designated response period.

21 **Q. How many proposals did Seminole receive?**

22 A. We received a total of 14 responses, all of which were supply-side proposals.

1 **Q. Please describe how you evaluated the responses to the RFP.**

2 A. First, we determined that to meet our minimum reserve criterion (given the existing  
3 inventory of resources and our recently updated load forecast) that we needed to add  
4 201 MW of capacity by January 1, 2004.

5 **Q. What was the next step in the evaluation process?**

6 A. We evaluated the peaking and intermediate categories separately. The evaluation  
7 occurred in several steps. After we identified the most cost-effective peaking  
8 proposal, we compared it to the cost of additional Partial Requirement ("PR") power  
9 from FPC, then compared it to the most economical of the combined cycle proposals,  
10 which were studied separately.

11 **Q. How did you compare the peaking proposals?**

12 A. Our production costing simulation, in which we modeled the generic parameters of  
13 a GE 7 FA combustion turbine, provided utilization characteristics that we could  
14 expect from a peaking unit. The demand costs proposed by the respondents, hours  
15 of service, the number of unit starts, and a fixed value for energy enabled us to  
16 calculate an average annual cost in dollars per megawatt hour that would be  
17 associated with each proposal. The results are shown in my Exhibit No. \_\_ (GSZ-4),  
18 which also appears in Volume I, Section C, of the Exhibits to the Joint Petition.

19 **Q. Why did you compare the lowest costing peaking proposal with the cost of  
20 additional PR purchases, and what was the result of the comparison?**

21 A. Simply put, there would be no reason to contract for the peaking capacity if we could  
22 save money by buying more PR power. And, in fact a comparison showed that the

1 peaking proposal would be more costly than additional PR power.

2 **Q. How did you determine which of the combined cycle proposals was the most**  
3 **economical?**

4 A. The initial step was similar to the first step in the comparison of peaking alternatives.  
5 Choosing a GE 7FA 2x1 combined cycle configuration as the proxy, we simulated the  
6 manner in which a generic combined cycle unit would operate in our system and  
7 developed utilization characteristics. Because the respondents had proposed differing  
8 amounts of capacity, it was necessary to calculate an average annual cost in \$/MWH  
9 so that an apples-to-apples comparison could be made. We then performed  
10 additional production costing simulations for the purpose of a more rigorous  
11 comparison of the top four combined cycle proposals.

12 **Q. How did the second phase of the evaluation of intermediate capacity proposals**  
13 **differ from the first?**

14 A. The first phase amounted to a rough first cut designed to produce a short list of the  
15 top proposals. The production costing simulation was performed with a generic  
16 proxy, and the operating characteristics were used to calculate the stand-alone contract  
17 costs for each proposal. This approach is less detailed and refined than a full-blown  
18 calculation of system costs, but serves well to screen the proposals for further study.

19 **Q. Did the results of this preliminary analysis affect the parameters of the overall**  
20 **study?**

21 A. Yes. I mentioned earlier that we had initially concluded that Seminole needed to add  
22 201 MW to existing resources. Our analysis revealed at this point that the combined



1 cycle bids were more economical than an existing 150 MW power purchase contract  
2 with FPC. In addition, this particular contract gives Seminole the right to adjust or  
3 terminate the arrangement by giving FPC advance notice of three years. To reflect  
4 the opportunity to substitute a more economical source for this contract, we revised  
5 the needed capacity from 201 to 350MW.

6 **Q. Does the fact that Seminole revised the capacity addition to 350 MW mean that**  
7 **Seminole had decided at that point to terminate the FPC contract?**

8 A. No. While that is an option that Seminole may consider in the future, the upward  
9 revision to the amount of capacity to be added did not signify a decision to terminate  
10 the FPC contract. In fact, there are reasons why Seminole could very well choose to  
11 retain the contract. Including the Calpine purchase and the 150 MW purchase from  
12 FPC, the resulting reserve margin is 23.2%, which is not excessive in any event.  
13 Seminole could decide to retain the FPC contract to provide a higher-than-minimum  
14 level of reserves, or as a hedge against future contingencies. All in all, the ability to  
15 keep or terminate the FPC contract constitutes a component of the strategic flexibility  
16 that Mr. Woodbury discusses in his testimony.

17 **Q. Please continue with your description of the second phase of the evaluation of**  
18 **intermediate proposals.**

19 In the second phase we mathematically "inserted" each specific proposal into the  
20 system individually, and performed production costing simulations to measure the  
21 overall system revenue requirements associated with each bid.

22 **Q. What were the results of this more rigorous analysis?**

1

2 A. The Calpine Osprey proposal, which was ranked No. 1 in the preliminary analysis,  
3 retained its position as the most cost-effective submittal. The more detailed  
4 simulation indicated that Seminole would employ its 350 MW commitment of  
5 Osprey capacity at an initial capacity factor of 60% and that it would increase to 70%  
6 over the period 2004-2008. Compared to the second, third, and fourth best proposals,  
7 the Calpine Osprey bid will save Seminole \$\_\_\_\_\_, \$\_\_\_\_\_, and  
8 \$\_\_\_\_\_ in total revenue requirements, (net present value) over the period  
9 2004-2008 respectively. The results are shown on Exhibit No. \_\_\_\_ (GSZ-5). In  
10 Exhibit No. \_\_\_\_ (GSZ-5) we compared the bids after expressing each in terms of  
11 the equivalent 350 MW offer. The results are also shown in Volume I, Section C of  
12 the Exhibit to the Joint Petition.

13 **Q. What did Seminole do next?**

14 A. We compared the Calpine proposal with the self-build option.

15 **Q. How did you develop the cost of the self-build option?**

16 A. We began with the direct construction costs provided to us by Black and Veatch. We  
17 developed the revenue requirements by making certain assumptions regarding loan  
18 amounts, interest rates, and term of the loan. Because we have not firmed up fuel or  
19 fuel transportation arrangements for a self-build option, we assumed the fuel and fuel  
20 transportation costs would be equivalent to those of the Calpine facility, thereby  
21 enabling us to compare the self-build to Calpine on a fixed cost basis only.

22 **Q. Please elaborate on the financial assumptions you employed.**

1 A. Seminole traditionally has evaluated financing assuming a 30-year loan guaranteed  
2 by the Rural Utilities Services ("RUS"). Seminole developed the costs using this  
3 method, but also looked at an RUS-guaranteed 6% loan having a payback period of  
4 17 years. This will be the amount of time remaining on the Seminole - Member  
5 Wholesale Power Contract in 2004. As a sensitivity, Seminole also, looked at a non-  
6 RUS guaranteed loan with 7 % interest.

7 **Q. Did you make any assumptions regarding the proposed power purchase**  
8 **transaction on Seminole's cost of capital?**

9 A. We assumed there would be no impact.

10 **Q. Please explain.**

11 A. RUS is the primary source of our funding. The criterion that RUS applies to gauge  
12 risk relates to interest coverage ratings. In our experience, RUS does not regard a  
13 power purchase agreement as more risky financially than construction and  
14 ownership.

15 **Q. Once you fully developed the revenue requirements of the self-build option, how**  
16 **did it compare with the Calpine proposal?**

17 A. When viewed on a five-year basis, the Calpine proposal was more cost-effective,  
18 saving Seminole \$\_\_\_\_\_ over the initial term. This is the pertinent time frame  
19 for the analysis, in view of the reopener provision to which Calpine and Seminole  
20 have agreed.

21 **Q. What happened after Seminole determined that the Calpine proposal is its best**  
22 **alternative to meet its 2004 need for capacity?**

1 A. Seminole and Calpine successfully negotiated basic commercial terms, presently  
2 incorporated in a Power Purchase Agreement, which Seminole witness Tim  
3 Woodbury will describe.

4 **Q. What, if any, adverse effects would Seminole experience if the Osprey Project**  
5 **were not brought into service as proposed by Calpine and Seminole?**

6 A Seminole requires capacity in the 2004 time frame. If the Calpine project is delayed,  
7 Seminole would either expose its members to an unacceptably lower level of  
8 reliability or incur increased costs -- possibly including the very high cost of short-  
9 term contractual arrangements -- to provide the same measure of reliability. During  
10 the period of the delay, Seminole would also be denied the flexibility and the  
11 strategic advantages that help make the Calpine Osprey proposal Seminole's superior  
12 choice.

13 **Q. Does this conclude your direct testimony?**

14 A. Yes.

1                   **MR. McGLOTHLIN: The next Seminole witness is**  
2 **William Lawton. I request that Mr. Lawton's prefiled**  
3 **direct testimony be incorporated in the record as though**  
4 **read.**

5                   **CHAIRMAN JACOBS: Without objection, show**  
6 **Mr. Lawton's testimony entered into the record as though**  
7 **read.**

8                   **MR. McGLOTHLIN: I ask that Mr. Lawton's**  
9 **Exhibits 1 though 4 be assigned a number.**

10                  **CHAIRMAN JACOBS: We'll make that a composite**  
11 **exhibit, 3, WTL-1 through WTL-4.**

12                  **(Exhibit 3 marked for identification.)**

13                  **MR. McGLOTHLIN: I move Composite Exhibit 3.**

14                  **CHAIRMAN JACOBS: Without objection, show**  
15 **Exhibit 3 admitted.**

16                  **(Exhibit 3 admitted into the record.)**

17

18

19

20

21

22

23

24

25

1                    **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
2                    **DIRECT TESTIMONY AND EXHIBITS OF WILLIAM T. LAWTON**  
3                    **ON BEHALF OF SEMINOLE ELECTRIC COOPERATIVE, INC.**  
4                    **DOCKET NO. 001748 -EC**

5                    **December 4, 2000**

6

7

**Q. Please state your name and business address.**

8

A. My name is William T. Lawton and my business address is 16313 North Dale Mabry Highway, Tampa, Florida 33618.

9

10

**Q. By whom are you employed and in what capacity?**

11

A. I am employed by Seminole Electric Cooperative, Inc. (“Seminole”) as Staff Economist.

12

13

**Q. Please describe your background and experience.**

14

A. I have over 10 years of experience in electric demand forecasting. My electric utility forecasting experience includes work at Kentucky Utilities Company as a Financial Analyst and at Seminole as a Corporate Planning Analyst and Staff Economist. I received a Bachelor of Arts degree with honors in Economics from Michigan State University and a Master of Arts degree in Economics from the University of Detroit.

15

16

17

18

19

20

**Q. What are your current responsibilities?**

21

A. As Seminole witness Tim Woodbury describes, Seminole was formed to assist its Member cooperatives with the generation and purchasing of electrical power for the benefit of their respective customers/Members. A fundamental function in that regard is the projection of Members’ future requirements. The two primary responsibilities of my present position are to develop forecasts of electric demand

22

23

24

25

1 for Seminole and its Member cooperatives and to conduct residential customer  
2 surveys for the Members. Both are joint efforts between Seminole and its Member  
3 cooperatives.

4 **Q. What is the purpose of your testimony?**

5 A. The purpose of my testimony is to describe Seminole's load forecasting  
6 methodology and the key results of the most recent forecast, which was the basis  
7 for the conclusion that Seminole needs to add capacity in 2004.

8 **Q. Are you sponsoring any exhibits in this case?**

9 A. Yes. I have prepared and attached to my testimony Exhibit Nos. \_\_\_\_\_ (WTL-1 -  
10 WTL-4). These exhibits present our load forecast results in both tabular and  
11 graphic form. I also sponsor Sections E and F to Volume Appendix I-A of the  
12 Exhibits to the Joint Petition.

13 **Q. Please summarize Seminole's load forecast methodology.**

14 A. Seminole develops energy and demand forecasts for each of its Member  
15 cooperatives. Demographic, economic, energy usage, and weather characteristics  
16 for each Member's service area are analyzed and projected. Seminole system  
17 projections are an aggregation of the Member-level forecasts. The Seminole  
18 forecast is a cooperative effort between Seminole and its Member systems, and is  
19 conducted in close coordination with the Rural Utilities Service ("RUS"). Each  
20 Member provides input and reviews its forecast at several stages. My testimony  
21 presents Seminole's latest long-term forecast.

22 **Q. With what frequency does Seminole prepare a load forecast?**

23 A. Seminole prepares a load forecast on an annual basis. Pursuant to the schedule in  
24 its annual plan, which schedule is approved by the RUS, Seminole completed its

1 1999 load forecast in July of that year. This was the load forecast on which the  
2 Ten Year Site Plan of April 2000 was based. It necessarily was the current load  
3 forecast at the time the Request for Proposals ("RFP") described in Garl  
4 Zimmerman's testimony was issued. In July 2000, Seminole again completed its  
5 annual load forecast. That forecast is the one that was used to evaluate responses  
6 to the RFP. It is the one that I will address in my testimony and in my exhibits.

7 **Q. Does the forecast that you will address in your testimony differ in**  
8 **methodology from the one that preceded it?**

9 A. No.

10 **Q. According to the testimony of Garl Zimmerman, based on this forecast,**  
11 **Seminole's system planners increased the amount of capacity to be added in**  
12 **2004 by some 40 megawatts. What caused the increase?**

13 A. Principally, the increase was the result of projected increases in commercial and  
14 industrial activity by some of our Members, in addition to smaller, "across-the-  
15 board" projections.

16 **Q. Please describe the models upon which Seminole's forecasts of peak demands**  
17 **and net energy for load are based.**

18 A. Seminole uses both econometric and end-use modeling techniques. Econometric  
19 forecasting techniques utilize statistical regression methods to estimate the  
20 relationship among the variables used in the models. End-use techniques estimate  
21 the effects of heating, cooling, and water heating appliances on energy usage and  
22 demand. The combination of these techniques produces a composite model which  
23 yields Seminole's load forecast.

24 **Q. Please summarize the key assumptions of the forecasts that are derived from**



1           **these models.**

2           A.     Demographic, economic, end-use, and weather data are the four principal factors  
3           behind Seminole's forecasts. The main demographic and economic data are the  
4           population and income projections. They are obtained from the Bureau for  
5           Business and Economic Research ("BEBR") at the University of Florida. End-  
6           use information is obtained from Seminole's Residential Survey. Information on  
7           housing characteristics, demographic composition, and appliance saturations has  
8           been collected since 1980 for each Member system. Weather data is obtained from  
9           the National Oceanic and Atmospheric Administration ("NOAA"). Seminoles  
10          uses 20-year averages of six weather stations in and around the Members' service  
11          areas as representative of normal weather.

12          **Q.     Please describe Seminole's historical and projected seasonal peak demands,**  
13          **energy, number of customers, and load factors.**

14          A.     Seminole's historical and projected summer and winter peak demands are shown  
15          in Exhibit Nos. \_\_\_\_, (WTL- 1, 4). From 1989 through 1999, Seminole's summer  
16          peak demands grew at an annual average compound growth rate ("AAGR") of  
17          4.7% per year. From 2000 through the summer of 2010, Seminole's summer peak  
18          is projected to grow from 2,599 MW to 3,677 MW, representing an AAGR of  
19          3.4% per year.

20                 Historical winter peak demands for the period 1988-89 through 1998-99  
21          grew at an AAGR of 4.8% per year. Winter peak demands for the period 1999-00  
22          through the winter of 2009-2010 are projected to grow from 3,174 MW to 4,589  
23          MW, representing an AAGR of 3.8% per year.

24                 Seminole's historical and projected consumers are shown in Exhibit No. \_\_\_\_

1 (WTL- 2). Total consumers grew at an AAGR of 2.8% per year for the period  
2 1989-1999. They are projected to increase at an AAGR of 2.3% per year for the  
3 period 2000-2010. Historical and projected usage per customer has increased at  
4 an AAGR of 1.8% per year for the period 1989 through 1999 and is projected to  
5 increase at an AAGR of 1.3% per year over the 2000 through 2010 period.  
6 Seminole's historical and projected energy is shown in Exhibit No. \_\_\_\_ (WTL-3).  
7 Seminole's energy requirements have grown at an AAGR of 4.5% per year from  
8 1989-1999 and are projected to increase at an AAGR of 3.6% per year over the  
9 2000-2010 period.

10 **Q. Does Seminole's forecast reflect the effects of conservation and load**  
11 **management?**

12 A. Yes. Seminole's load forecast methodology captures the effect of its Members'  
13 residential and commercial conservation and load management activities.  
14 Projected maximum load management reductions for the winter and summer  
15 seasons are shown in Exhibit No. \_\_\_\_ (WTL-1). Seminole estimates it will have  
16 250 MW of load management capabilities in the winter and 204 MW in the  
17 summer over the forecast period. In the aggregate, our Members are not projecting  
18 to increase their load management capabilities over the forecast period.

19 **Q. What efforts has Seminole made in the conservation area?**

20 A. Seminole does not have a direct role in conservation activities, which typically  
21 involve interaction with the end use consumer. What Seminole has done is to  
22 design a rate structure that will send its Members a price signal that reflects  
23 Seminole's cost of supplying power in the aggregate. Each Member may then use  
24 this price signal to evaluate the cost effectiveness of conservation measures for its

1 cooperative.

2 **Q. How has Seminole structured its rates to achieve the maximum benefits from**  
3 **load management?**

4 A. Seminole has a rate structure, which has been approved by its Members, that bases  
5 Seminole's billings to its Members on their aggregated system demand at the time  
6 of Seminole's peak. This enables Seminole to concentrate its load management  
7 on efforts to control the overall system peak rather than the peaks of ten different  
8 utilities.

9 **Q. Does that complete your direct testimony?**

10 A. Yes.

11

12

1                   **MR. McGLOTHLIN: The next Seminole witness is**  
2 **Robert Woodall. Mr. Woodall also sponsors a supplemental**  
3 **exhibit, so his exhibits are 1 through 4. I request that**  
4 **the prefiled direct testimony of Mr. Woodall be inserted**  
5 **in the record as though read.**

6                   **CHAIRMAN JACOBS: Without objection, show**  
7 **Mr. Woodall's testimony entered into the record as though**  
8 **read.**

9                   **MR. McGLOTHLIN: I request an exhibit number be**  
10 **assigned to his exhibits.**

11                   **CHAIRMAN JACOBS: That is Composite Exhibit 4.**  
12 **(Exhibit 4 marked for identification.)**

13                   **CHAIRMAN JACOBS: You know what? We're saying**  
14 **rebuttal and direct -- direct and rebuttal testimony --**

15                   **MR. McGLOTHLIN: We have no rebuttal in this**  
16 **case.**

17                   **CHAIRMAN JACOBS: Okay. I thought I saw one for**  
18 **Mr. Woodbury. Oh, no, that's just exhibits. Okay.**

19                   **MR. McGLOTHLIN: And I move Composite Exhibit 4.**

20                   **CHAIRMAN JACOBS: Without objection, show**  
21 **Exhibit 4 admitted.**

22                   **(Exhibit 4 admitted into the record.)**

23

24

25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
2                   **DIRECT TESTIMONY AND EXHIBITS OF ROBERT L. WOODALL**  
3                   **ON BEHALF OF SEMINOLE ELECTRIC COOPERATIVE, INC.**  
4                   **DOCKET NO. \_\_\_\_\_-EC**

5                   **DECEMBER 4, 2000**

6  
7           **Q.     Please state your name, occupation, and business address.**

8           A.     My name is Robert L. Woodall. I am employed by Seminole Electric Cooperative  
9                   as Manager of Fuel Supply. My business address is 16313 N. Dale Mabry  
10                  Highway, Tampa, Florida 33618.

11          **Q.     Please describe your duties and responsibilities in that position.**

12          A.     I am responsible for buying and transporting fuel to Seminole's facilities at  
13                  minimum cost; assuring that fuel quality is within specifications; maintaining  
14                  adequate inventories; and forecasting fuel prices.

15          **Q.     Please summarize your background and experience.**

16          A.     In the past fifteen years, I have managed a wide variety of fuel activities for  
17                  Seminole involving coal, distillate oil, and natural gas. My department conducts  
18                  daily operations to purchase and transport coal and distillate oil to the Seminole  
19                  plant. Under the terms of the agreement between TECO Power Services and  
20                  Seminole, pursuant to which Seminole has first call on 295 MW of the capacity of  
21                  the Hardee Power Station whenever certain Seminole plants experience outages or  
22                  deratings, Seminole is deeply involved in the procurement and transportation of fuel  
23                  to the Hardee plant. As a member of the team assigned by Seminole to carry out

1 those responsibilities, I have participated in many projects related to providing the  
2 Hardee Power Station with a supply of natural gas and distillate oil. This includes  
3 participating in the negotiation of natural gas pipeline capacity for the Hardee  
4 Power Station, approving nominations of natural gas for Seminole's generation at  
5 the Hardee Power Station, and approving gas and oil supply contracts proposed by  
6 Hardee Power Partners. I managed Seminole's acquisition of firm, permanent,  
7 relinquished capacity on the Florida Gas Transmission system pipeline to provide  
8 transportation to Seminole's Payne Creek Generating Station, which is presently  
9 under construction. I have also been designated Seminole's lead negotiator for  
10 pipeline capacity from the proposed new pipelines which may come into Florida in  
11 the future.

12 My education includes a Bachelor of Science degree in Process Engineering  
13 from Western Michigan University and a Master of Science degree in Industrial  
14 Management from Massachusetts Institute of Technology. During the 17 years  
15 prior to joining Seminole, my work was concentrated in the energy field. At Dravo  
16 Corporation, I was involved with the market studies and new business development  
17 projects in the oil, gas and coal industries. For Valley Camp Coal Company, I was  
18 responsible for all coal sales, marketing, transportation, and contract negotiations.

19 I have been responsible for preparing fuel forecasts which were used to  
20 make major corporate decisions on numerous occasions over the past 25 years.

21 **Q. Have you previously testified before the Commission?**

22 A. Yes, I presented the fuel forecasts which supported the Commission's  
23 determination of need for Hardee Power Station Unit #1 and #2, and the Payne

1 Creek Generating Station.

2 **Q. What is the purpose of your testimony?**

3 A. I will present the fuel price forecast that Seminole used in the economic evaluations  
4 of available alternatives that led Seminole to identify the Osprey Energy Center  
5 proposed by Calpine as the most cost-effective choice to meet Seminole's need for  
6 capacity.

7 **Q. Are you sponsoring any exhibits to your testimony?**

8 A. Yes. Attached to my testimony are Exhibit Nos. \_\_\_\_ (RLW-1 - RLW-3) which  
9 relate to our fuel forecast. In addition, I am sponsoring Section D of Volume I of  
10 the Exhibits to the Joint Petition.

11 **FUEL PRICE FORECAST**

12 **A. Please describe the specific steps used in preparing the fuel forecast.**

13 A. The procedure reflects my conviction that fuel prices are a function of fundamental  
14 relationships which establish long-term trends. While we may observe short-term  
15 volatility in the price of a fuel, over time the underlying long-term trend will be  
16 reestablished. Guided by this basic proposition, we followed similar steps to  
17 develop the forecast for each fuel. First, we examined the long-term actual annual  
18 price history and recent actual prices. Next, we examined industry trend data and  
19 price forecasts by others. This review included information regarding past, present,  
20 and future market trends, technological changes, government policy, OPEC  
21 decisions, and other factors which influence energy prices. We then forecasted  
22 prices for each fuel at its source based upon the unique set of factors that influence  
23 the price for that fuel.

1 **Q. Please summarize the results of your price forecast.**

2 A. Exhibit No. \_\_ (RLW-1) is a table showing Seminole's 10-year forecast of prices  
3 for natural gas, distillate oil and coal at its source. Prices are forecast in nominal  
4 dollars expressed as dollars per million BTU ("\$/mmBtu"). A base case forecast  
5 is presented, as well as high range and low range forecasts.

6 This information is depicted graphically in Exhibit No. \_\_ (RLW-2), which  
7 is also included in Volume I of the Exhibits to the Joint Petition. The top three lines  
8 on the graph illustrate the base case, high range and low range price of distillate oil  
9 for the 10-year period of the forecast. In the base case, the distillate oil price starts  
10 at \$4.33/mmBtu in 2000 and increases to \$4.86 mmBtu in nominal dollars in the  
11 year 2009. Over this 10-year time period, the nominal distillate oil price grows at  
12 an average rate of 1.16% per year. In 2004, when the proposed Osprey Energy  
13 Center is scheduled to come on-line, the price of distillate oil is forecast to be  
14 \$4.56/mmBtu in nominal dollars.

15 The middle three lines on the graph illustrate the base case, high range and  
16 low range price of natural gas for the 10-year forecast time period. In the base case,  
17 the natural gas price starts at \$2.34/mmBtu in 2000 and increases to \$2.90 mmBtu  
18 in nominal dollars in the year 2009. Over this 10-year time period, the nominal  
19 natural gas price grows at an average rate of 2.17% per year. In 2004, when the  
20 proposed Osprey Energy Center is scheduled to come on-line, the price of natural  
21 gas is forecast to be \$2.57/mmBtu in nominal dollars.

22 The bottom three lines on the graph illustrate the base case, high range and  
23 low range prices of coal for the 10-year forecast time period. In the base case, the



1 coal price starts at \$0.82/MmBtu in 2000 and increases to \$0.90 mmBtu in nominal  
2 dollars in the year 2009. Over this 10-year time period, the nominal coal price  
3 grows at an average rate of 0.90% per year.

4 **Q. Have you compared the results of your natural gas forecast to forecasts made**  
5 **by other parties? If so, what do those comparisons show?**

6 A. Yes, I have. Exhibit No. \_\_ (RLW-3), which is also included in Volume I of the  
7 Exhibits to the Joint Petition, shows Seminole's forecast of the wellhead price of  
8 natural gas compared to the following four national forecasts:

9 American Gas Association - AGA

10 Data Resources International - DRI

11 Department of Energy, Energy Information Administration - EIA

12 Wharton Economic Forecasting Associates - WEFA

13 **Q. Please describe how you prepared Exhibit No. \_\_ (RLW-3).**

14 A. Seminole obtained the data that was used to prepare this exhibit from the EIA  
15 publication "Annual Energy Outlook 2000," which was published in December  
16 1999. All forecast data was available only in real dollars. To prepare the  
17 comparison, Seminole converted the data into nominal dollars.

18 Only the EIA forecast contained annual data. The earliest year covered by  
19 the other forecasts is 2015. In order to compare the other forecasts to Seminole's  
20 forecast in 2009, Seminole extrapolated from 2015 to 2009.

21 **Q. What does the comparison indicate with respect to the predicted price of**  
22 **natural gas?**

23 A. At the start of the forecast time period in 2000, the EIA forecast is slightly below

1 the Seminole forecast. The EIA forecast shows prices increasing a little faster than  
2 Seminole's forecast. In 2004, when Seminole will begin receiving energy from the  
3 Osprey Energy Center both forecasts indicate a natural gas price of \$2.57/mmBtu.  
4 At the end of the time period, EIA is indicating a price of \$3.35/mmBtu, which is  
5 higher than any of the other forecasts depicted on the exhibit. The other forecasts  
6 range from \$3.19 to \$3.08/mmBtu. Seminole forecasts a price of \$2.90/mmBtu for  
7 that year. The highest forecast is only 15% above the lowest forecast. The  
8 closeness of these forecasts provides confidence that Seminole's forecast is an  
9 appropriate tool with which to make long-term decisions related to natural gas.

10 **Q. Does this conclude your direct testimony?**

11 **A. Yes.**

1                   **MR. McGLOTHLIN: The Seminole witnesses**  
2 **collectively sponsor Volume 1 of the amended exhibits to**  
3 **the joint petition. I ask that an exhibit number be**  
4 **assigned to Volume 1 of the amended exhibits.**

5                   **CHAIRMAN JACOBS: Could you restate that? I'm**  
6 **sorry.**

7                   **MR. McGLOTHLIN: Yes. Attached to the joint**  
8 **petition for determination of need are two volumes of**  
9 **exhibits to the joint petition. Seminole witnesses are**  
10 **sponsoring Volume 1 of the two volumes that were part of**  
11 **the joint petition. I request that an exhibit number be**  
12 **assigned to Volume 1 which is being sponsored by the**  
13 **Seminole witnesses.**

14                   **CHAIRMAN JACOBS: Okay. So this would be**  
15 **Volume 1 of the need determination application?**

16                   **MR. McGLOTHLIN: Volume 1 of the amended**  
17 **exhibits to the amended joint petition, to be precise,**  
18 **yes, sir.**

19                   **CHAIRMAN JACOBS: So this is not the application**  
20 **but only the exhibits.**

21                   **MR. McGLOTHLIN: That's correct.**

22                   **CHAIRMAN JACOBS: Okay. Should we make the**  
23 **application itself an exhibit as well before we --**

24                   **MR. ELIAS: Mr. Chairman, I don't think that**  
25 **that's necessary. It's filed; it's a petition; it's a**

1 pleading; it's not evidence.

2 CHAIRMAN JACOBS: Very well. Show that as  
3 Exhibit 5.

4 (Exhibit 5 marked for identification.)

5 MR. McGLOTHLIN: And I move Composite Exhibit 5.

6 CHAIRMAN JACOBS: Without objection, show  
7 Exhibit 5 admitted.

8 (Exhibit 5 admitted into the record.)

9 CHAIRMAN JACOBS: That takes care of all of  
10 yours?

11 MR. McGLOTHLIN: Yes, sir.

12 CHAIRMAN JACOBS: Very well. Mr. Wright.

13 MR. WRIGHT: Thank you, Mr. Chairman. Calpine's  
14 first witness is Mr. Timothy R. Eves. There is one -- or  
15 two, actually, typographic corrections to be made to his  
16 testimony. At Page 7, Line 6, references to Tables II-20  
17 and to II-21 should be references to II-19 and II-20. I  
18 have given the court reporter a clean unbound copy of the  
19 testimony with this correction already made to it. And  
20 with that, I would move that Mr. Eves' testimony be  
21 entered into the record as though read.

22 CHAIRMAN JACOBS: Without objection, show the  
23 testimony of Mr. Eves as amended entered into the record  
24 as though read.

25 MR. WRIGHT: Mr. Eves also sponsors exhibits

1 appended to his amended direct testimony identified at  
2 this time as TRE-1 through TRE-5. I would ask that they  
3 be given an identification number.

4 CHAIRMAN JACOBS: That will be Composite  
5 Exhibit 6.

6 (Exhibit 6 marked for identification.)

7 MR. WRIGHT: And I move the admission of  
8 Composite Exhibit 6 into evidence of the record of this  
9 case.

10 CHAIRMAN JACOBS: Without objection, show  
11 Exhibit 6 admitted.

12 (Exhibit 6 admitted into the record.)

13

14

15

16

17

18

19

20

21

22

23

24

25

IN RE: JOINT PETITION FOR DETERMINATION OF NEED FOR THE OSPREY  
ENERGY CENTER IN POLK COUNTY BY SEMINOLE ELECTRIC COOPERATIVE,  
INC. AND CALPINE CONSTRUCTION FINANCE COMPANY, L.P.

AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES

1 Q: Please state your name and business address.

2 A: My name is Timothy R. Eves, and my business address is Two  
3 Urban Centre, 4890 West Kennedy Boulevard, Suite 600, Tampa,  
4 Florida 33609.

5

6 Q: By whom are you employed and in what position?

7 A: I am employed by Calpine Eastern Corporation ("Calpine  
8 Eastern"), as Director of Business Development for Florida.

9

10 Q: Please describe your duties with Calpine Eastern.

11 A: In my capacity as Director of Business Development for Florida,  
12 I am responsible for managing all of Calpine Eastern's  
13 development activities in Florida, including, among other  
14 things, coordinating regulatory matters and permitting  
15 activities for Calpine Eastern's Florida projects;  
16 participating directly in Calpine Eastern's marketing  
17 activities for the Osprey Energy Center (the "Osprey Project"  
18 or the "Project") and the Blue Heron Energy Center; and  
19 managing all aspects of the development of the Osprey Project.

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1

**QUALIFICATIONS AND EXPERIENCE**2 **Q: Please summarize your educational background.**3 **A:** I received a Bachelor of Mechanical Engineering degree from the  
4 University of Detroit in 1979, a Master of Business  
5 Administration degree from Widener University in 1983, and a  
6 Juris Doctor degree from the University of Miami in 1988.

7

8 **Q: Please summarize your employment history and work experience.**9 **A:** I have 21 years of experience in the electric power industry,  
10 19 years of which I worked for Westinghouse Electric  
11 Corporation, and the remaining 2 years with BBI Power  
12 Corporation and Calpine Eastern. I began my career in 1979 as  
13 an Assistant Sales Engineer with Westinghouse Electric  
14 Corporation where I sold electrical equipment to  
15 architect/engineering firms for application on utility  
16 projects. From there I held marketing positions of increasing  
17 responsibility before being appointed Westinghouse's Manager of  
18 Customer Program Integration in July 1989. In this position,  
19 I managed a marketing group responsible for the coordination  
20 and sale of integrated generating plant services and  
21 modernization services to electric utilities. In December  
22 1991, I was appointed the Regional Marketing Manager  
23 responsible for the sale of new unit power generation equipment  
24 and engineering, procurement, and construction services to

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 developers, utilities and architect/engineers in diverse  
2 markets across the United States and Latin America. I was  
3 appointed Director of International Marketing in January 1996,  
4 in which position I was responsible for managing the department  
5 responsible for selling new power generation equipment and  
6 engineering, procurement, and construction services to power  
7 plant developers, utilities, industrial users, and  
8 architect/engineers for projects located in Eastern Europe, the  
9 Middle East, and the Indian subcontinent. For most of my  
10 career with Westinghouse, I worked in Florida, where I had  
11 regular contact with various Florida utilities.

12 In June 1998, I began my employment with BBI Power  
13 Corporation as Senior Vice President with responsibilities for  
14 worldwide project development activities. My responsibilities  
15 included: project development, joint partner identification and  
16 negotiation of joint development agreements, determination of  
17 plant configuration, and financial analyses. I also negotiated  
18 purchased power and steam supply contracts, engineering-  
19 procurement-construction contracts, and conducted permitting  
20 and financing activities for various projects. My project  
21 development activities covered the Indian subcontinent, Eastern  
22 Europe, the Middle East, the Caribbean, and the United States  
23 with respect to developing natural gas and oil-fired combustion  
24 turbine units, coal-fired steam units, and biomass plants.

25 In October 1999, I accepted my current position with



**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Calpine Eastern Corporation as Director of Business  
2 Development. In this position, I am responsible for all of  
3 Calpine Eastern's development activities in Florida, including  
4 regulatory matters, permitting, and marketing activities for  
5 Calpine Eastern's Florida projects.

6

7 **Q: What are your responsibilities with respect to the Osprey**  
8 **Energy Center?**

9 A: As Director of Business Development for Florida, my  
10 responsibilities with respect to the Osprey Project include  
11 coordinating the regulatory and business activities relating to  
12 the permitting and construction of the Project, including  
13 coordination with our partner, Seminole Electric Cooperative,  
14 Inc. ("Seminole"). My responsibilities encompass coordination  
15 and oversight of several elements of power generation project  
16 development, including evaluating and selecting development  
17 opportunities, project design and engineering, negotiating  
18 power sales agreements, acquiring necessary land rights,  
19 permits and fuel resources, obtaining financing, and managing  
20 construction.

21

22 **SUMMARY AND PURPOSE OF TESTIMONY**

23 **Q: What is the purpose of your testimony?**

24 A: I am testifying on behalf of Calpine Construction Finance

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Company, L.P. ("Calpine"), one of the joint applicants for the  
2 Florida Public Service Commission's ("Commission")  
3 determination of need for the Osprey Energy Center. My  
4 testimony describes Calpine and the relationship between  
5 Calpine, Calpine Eastern, their parent, Calpine Corporation,  
6 Inc., a Delaware corporation headquartered in San Jose,  
7 California, and other Calpine affiliates involved with the  
8 Osprey Project including Calpine Energy Services, L.P., and  
9 Calpine East Fuels, L.L.C. My testimony also addresses the  
10 Osprey Project, the Power Purchase Agreement ("PPA") between  
11 Calpine and Seminole for the purchase of firm capacity and  
12 associated energy from the Osprey Project, Calpine's need for  
13 the Project to meet its obligations to Seminole, the cost-  
14 effectiveness of the Project to Calpine, the economic viability  
15 of the Project, potential generating and non-generating  
16 alternatives to the Project considered by Calpine, and the  
17 action that Calpine and Seminole are asking the Commission to  
18 take in this proceeding.

19

20 **Q: Please summarize your testimony.**

21 **A:** Calpine Construction Finance Company, L.P., and Seminole  
22 Electric Cooperative, Inc. are petitioning the Commission for  
23 an affirmative determination of need for the Osprey Energy  
24 Center, a 529 MW natural gas-fired, combined cycle power plant

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 to be located in the City of Auburndale, in Polk County,  
2 Florida.

3 The Osprey Project utilizes state-of-the-art technology,  
4 with proven reliability, high efficiency, and a very benign  
5 environmental profile. The Project will provide a clean and  
6 cost-effective power supply resource to Seminole to meet the  
7 growing demands of Seminole's Member cooperative utilities and  
8 those utilities' member-consumers. In contrast to rate-based  
9 facilities, Calpine will bear all of the capital investment and  
10 operating risks associated with the Project, while Seminole,  
11 its Member cooperatives, and their member-consumers bear none.

12 The Project is the most cost-effective alternative  
13 available to Calpine and, because of its very high efficiency,  
14 the Project is expected to be economically viable for its  
15 entire useful life.

16  
17 **Q: Are you sponsoring any exhibits to your testimony?**

18 **A:** Yes. I am sponsoring the following exhibits.

19 TRE-1. Calpine Construction Finance Company, L.P.,  
20 Ownership Structure.

21 TRE-2. Calpine Corporation Generation Portfolio.

22 TRE-3. Order of the Federal Energy Regulatory Commission  
23 ("FERC") approving Calpine's market-based rate  
24 tariff.

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 TRE-4. Osprey Energy Center, Generating Alternatives  
2 Evaluated.

3 TRE-5. Osprey Energy Center, Cost-Effectiveness Analyses of  
4 Alternative Generation Technologies.

5 I am also sponsoring Figures II-1 and II-2, Tables II-1,  
6 II-13, II-19, II-20, and parts of Table II-2 (relating to the  
7 cost, economic life, and status of the Project) in Volume II of  
8 the Amended Exhibits filed in support of Calpine's Amended  
9 Joint Petition for determination of need for the Project. I am  
10 also sponsoring the text relating to the subject matter of  
11 these figures and tables contained within the Executive  
12 Summary, Introduction, and Sections II.A, II.C, II.D, II.E,  
13 II.F, and III.F of the Amended Exhibits. I am also sponsoring  
14 Appendix II-A to the Amended Exhibits.

15

16 CALPINE CONSTRUCTION FINANCE COMPANY, L.P.,  
17 CALPINE EASTERN CORPORATION, AND CALPINE CORPORATION, INC.

18

19 Q: Please describe Calpine Construction Finance Company, L.P., and  
20 its business.

21 A: Calpine is a limited partnership organized and existing under  
22 the laws of the State of Delaware. Calpine is a wholly-owned  
23 subsidiary of Calpine Corporation, Inc. ("Calpine  
24 Corporation"), a Delaware corporation headquartered in San  
25 Jose, California. Exhibit \_\_\_\_\_ (TRE-1) illustrates the  
26 ownership structure relationships of Calpine, Calpine Eastern,

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 and Calpine Corporation.

2 Calpine is in the business of developing competitive  
3 wholesale power plants and acquiring electrical generating  
4 facilities for operation as competitive wholesale power plants.  
5 Calpine's basic business strategy is to provide clean,  
6 efficient, cost-effective wholesale power to other utilities.  
7 Competitive wholesale power plants are operated to sell power  
8 to other utilities at wholesale at voluntarily negotiated  
9 rates, with Calpine taking all financial and operating risk  
10 associated with the plants. With respect to the Osprey  
11 Project, Calpine, through its affiliate Calpine Energy  
12 Services, L.P. ("Calpine Energy Services"), has entered into  
13 the PPA pursuant to which Calpine will sell and Seminole will  
14 buy 350 MW of firm capacity from the Project from June 1, 2004  
15 through May 22, 2020, subject to periodic "reopener" provisions  
16 in the PPA. Calpine will have a contractual arrangement with  
17 Calpine Energy Services pursuant to which Calpine Energy  
18 Services will provide fuel to the Project and will receive all  
19 of the electric capacity and energy from the Project, which it  
20 will then use to meet its contractual obligations to Seminole.  
21 Also pursuant to the PPA, Calpine has committed to Seminole and  
22 Seminole has the right to purchase up to all of the Project's  
23 capacity and all of the energy output of the Project for the  
24 term of the PPA; this includes Seminole's option to purchase  
25 the entire capacity of the Project from the Project's

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 commercial operation date (projected to be June 2003) through  
2 May 31, 2004, and Seminole's option to purchase the balance of  
3 the Project's capacity, i.e., the capacity above the 350 MW of  
4 capacity already committed to Seminole on a firm basis, from  
5 June 1, 2004 through May 22, 2020, to the extent that that  
6 additional capacity has not been firmly committed to other  
7 Florida load-serving utilities at the time that Seminole wishes  
8 to exercise these options.

9

10 **Q: Please describe Calpine Corporation and its business.**

11 A: Calpine Corporation is a leading independent power company  
12 engaged in the development, acquisition, ownership, and  
13 operation of power generation facilities and the sale of  
14 electricity predominantly in the United States. Calpine  
15 Corporation has experienced significant growth in all aspects  
16 of our business over the last five years. Calpine Corporation  
17 and its subsidiaries have ownership interests in 47 operating  
18 power plants with total generating capacity of 5,318.5 MW, in  
19 18 power plants under construction with total generating  
20 capacity of 11,428.2 MW, and in 13 power plants under  
21 development with total generating capacity of 8,006 MW.

22 Calpine Corporation is financially strong and sound, with  
23 market capitalization near \$10 billion and an investment grade  
24 bond rating.

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Calpine Corporation's development of power generation  
2 projects involves numerous elements, including evaluating and  
3 selecting development opportunities, designing and engineering  
4 the projects, negotiating power sales agreements, acquiring  
5 necessary land rights, permits and fuel resources, obtaining  
6 financing, and managing construction.

7 In May 1999, Calpine Corporation completed the  
8 acquisitions from Pacific Gas & Electric Company of 14  
9 geothermal power plants at The Geysers in Northern California,  
10 with a combined capacity of approximately 700 megawatts ("MW").  
11 With these acquisitions Calpine Corporation now owns and  
12 operates 850 MW of geothermal generating capacity and is the  
13 nation's largest geothermal power producer.

14

15 **Q: Please describe Calpine Eastern Corporation and the**  
16 **relationship between Calpine, Calpine Eastern, and Calpine**  
17 **Corporation.**

18 **A:** Calpine Eastern Corporation is one of three regional Calpine  
19 Corporation subsidiaries that have responsibility for  
20 developing, acquiring, and operating the power plants owned by  
21 Calpine Corporation and its subsidiaries and for marketing the  
22 output of those plants. Calpine Eastern has responsibility  
23 for: (1) developing power plants all the way through the  
24 various permitting processes and construction phase and into

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 commercial operation; (2) overseeing the marketing of the power  
2 plants' output; and (3) operating, maintaining, and optimizing  
3 the power plants' operations over their lives. Calpine (i.e.,  
4 Calpine Construction Finance Company, L.P.) provides the  
5 financing for the projects and owns them upon completion, and,  
6 as such, the development of the projects is completed in the  
7 name of Calpine. Calpine Corporation is the parent of both  
8 Calpine and Calpine Eastern.

9

10 **Q: What existing power plants do Calpine Corporation and its**  
11 **subsidiaries have ownership interests in?**

12 **A:** Calpine Corporation and its subsidiaries have ownership  
13 interests in 47 existing power generation facilities with a  
14 current aggregate capacity of approximately 5,318.5 MW,  
15 consisting of 28 gas-fired generation plants with a total  
16 capacity of 4,468.5 MW and 19 geothermal power generating  
17 facilities with a total capacity of 850 MW. Calpine  
18 Corporation's ownership interests, through various wholly-owned  
19 subsidiaries, in these plants total 4,421.6 MW, including  
20 3,571.6 MW of gas-fired capacity and 850 MW of geothermal  
21 capacity. These existing power plants are located in  
22 California, New York, Texas, Florida, Massachusetts, New  
23 Jersey, Pennsylvania, Virginia, Illinois, Oklahoma and  
24 Washington. Exhibit \_\_\_\_\_ (TRE-2) presents Calpine



**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Corporation's generation portfolio.

2

3 **Q: Do any subsidiaries or affiliates of Calpine Corporation**  
4 **presently own and operate any electrical power plants in**  
5 **Florida?**

6 **A: Yes.** Calpine Corporation, through wholly owned subsidiaries,  
7 owns the entire ownership interest in the Auburndale Power  
8 Plant, a 150 MW cogeneration power plant located in Auburndale,  
9 Florida adjacent to the Osprey Project site. Most of the  
10 output from the Auburndale Power Plant is sold to Florida Power  
11 Corporation pursuant to a long-term negotiated contract, and  
12 most of the remainder is presently sold to Tampa Electric  
13 Company pursuant to a negotiated contract, with the balance  
14 sold on a daily basis into the wholesale market.

15

16 **Q: What other projects do Calpine and its subsidiaries currently**  
17 **have under construction and development?**

18 **A: Calpine Corporation's subsidiaries, including Calpine**  
19 **Construction Finance Company, currently have eighteen gas-fired**  
20 **projects under construction with total capacity of 11,428.2 MW;**  
21 **Calpine Corporation's ultimate ownership share in these plants**  
22 **will be 9,891.3 MW. Upon completion of the projects under**  
23 **construction, Calpine Corporation will have interests in 65**  
24 **power plants located in 18 states. Approximately 90 percent of**

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1       these plants' generating capacity will be gas-fired and  
2       approximately 10 percent will utilize geothermal technology.  
3       The power plants under construction are located in Alabama,  
4       Missouri, Texas, Oklahoma, California, Louisiana, Maine,  
5       Oregon, Arizona, Maine, and Pennsylvania.

6               Calpine Corporation's subsidiaries, including Calpine  
7       Construction Finance Company, have also formally announced  
8       plans to develop, and have commenced development of, an  
9       additional thirteen gas-fired power plants with a total  
10       capacity of 8,006 megawatts; Calpine Corporation's ultimate  
11       ownership share of these projects will be 7,484 megawatts. The  
12       power plants under development are located in California,  
13       Florida, Mississippi, Alabama, New York, Arizona, Ohio,  
14       Tennessee, Connecticut, and Alberta, Canada.

15

16   **Q: Please describe the ownership status of Calpine Construction**  
17   **Finance Company, L.P.**

18   **A:** Calpine is owned by its investors, and Calpine will own the  
19   power generation facilities, i.e., the Osprey Energy Center and  
20   the Blue Heron Energy Center identified in Calpine's 2000 Ten-  
21   Year Site Plan.

22

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Q: Under what authority will Calpine sell the Osprey Project's  
2 output?

3 A: Calpine will market the Project's capacity and associated  
4 energy to other utilities and power marketers under negotiated  
5 arrangements entered into pursuant to Calpine's Rate Schedule  
6 No. 1 approved by the FERC. The FERC's order approving this  
7 market-based rate tariff is included as Exhibit \_\_\_\_\_ (TRE-3)  
8 to my testimony. That rate schedule, which applies to all  
9 sales by Calpine, provides that Calpine may enter into  
10 agreements with willing wholesale purchasers of energy and  
11 capacity provided by the Project.

12

13 Q: Has Calpine previously filed a ten-year site plan with the  
14 Commission?

15 A: Yes. Calpine filed a ten-year site plan in the spring of 2000.  
16

17 Q: What experience do Calpine Corporation and its subsidiaries  
18 have in operating electrical power plants?

19 A: Calpine Corporation and its subsidiaries presently operate the  
20 vast majority of the 47 existing power plants in which Calpine  
21 Corporation holds ownership interests, including the 150 MW  
22 Auburndale Power Plant. By the end of 2002, Calpine  
23 Corporation's subsidiaries are projected to be operating more  
24 than 13,000 MW of generating capacity in which Calpine

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Corporation will have an ownership interest. Such services  
2 include the operation of power plants, geothermal steam fields,  
3 wells and well pumps, gas fields, gathering systems, and gas  
4 pipelines. Calpine Corporation's subsidiaries also supervise  
5 maintenance, materials purchasing, and inventory control;  
6 manage cash flow; train staff; and prepare operating and  
7 maintenance manuals for each power generation facility that  
8 they operate. As a facility develops an operating history,  
9 Calpine Corporation's operation and management subsidiaries  
10 analyze the facility's operation and may modify or upgrade  
11 equipment or adjust operating procedures or maintenance  
12 measures to enhance the facility's reliability or  
13 profitability. These services are performed under the terms of  
14 operating and maintenance agreements pursuant to which Calpine  
15 Corporation's operation and maintenance subsidiaries are  
16 generally reimbursed for certain costs and paid an annual  
17 operating fee. Pursuant to the O&M agreements, these  
18 subsidiaries may also be paid an incentive fee based on the  
19 performance of each facility.

20

21 **Q: Why is Calpine interested in building and operating the Osprey**  
22 **Energy Center in Florida?**

23 **A:** Calpine views the construction and operation of the Osprey  
24 Energy Center as a mutually beneficial business opportunity for

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Calpine and Seminole, Seminole's Member cooperatives, and those  
2 systems' member-consumers. Subject to the Project's output  
3 being contractually committed to Seminole and to other  
4 Peninsular Florida load-serving utilities, the Project will be  
5 beneficial to those utilities and their ultimate consumers.

6 According to the 2000 Regional Load & Resource Plan  
7 prepared by the Florida Reliability Coordinating Council and  
8 dated July 2000 ("FRCC 2000 Resource Plan"), Peninsular Florida  
9 needs more than 11,000 MW of new installed capacity in order to  
10 maintain winter reserve margins generally between 7% and 13%  
11 without exercising load management and interruptible resources  
12 from the winter of 2000-2001 through the winter of 2009-2010.  
13 Even with the exercise of load management and interruptible  
14 resources, Peninsular Florida needs more than 11,000 MW of new  
15 capacity, as forecast in the FRCC 2000 Resource Plan, to  
16 maintain planned reserve margins through the same period.  
17 Subject to the Project's output being contractually committed  
18 to Seminole and to other Peninsular Florida load-serving  
19 utilities, the Project will increase both summer and winter  
20 reserve margins for Peninsular Florida and will enhance  
21 Peninsular Florida's reliability. Assuming an average  
22 coincident peak demand of 3.5 to 5.0 kW per residential  
23 customer, the Project's capacity would be sufficient to  
24 maintain electric service to between 99,000 homes (at 5.0 kW  
25 per household, summer peak conditions) and 165,000 homes (at

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 3.5 kW per household, winter peak conditions) during an extreme  
2 weather event.

3

4 **Q: Does Calpine expect to be represented on the Florida**  
5 **Reliability Coordinating Council?**

6 **A:** Yes, Calpine expects to be represented on the FRCC with respect  
7 to our Osprey Project and Blue Heron Energy Center, another  
8 gas-fired combined cycle power plant that we described in our  
9 2000 Ten-Year Site Plan.

10

11

**THE OSPREY ENERGY CENTER**

12 **Q: Please describe the Osprey Energy Center.**

13 **A:** The Osprey Energy Center is a natural gas-fired power plant  
14 utilizing advanced combustion turbine technology in combined  
15 cycle configuration with a heat recovery steam generator and an  
16 electric steam turbine generator. The Project's rated capacity  
17 at average ambient site conditions is 529 MW, based on expected  
18 manufacturers' guarantees. The Project's rated winter capacity  
19 is 578 MW and its rated summer capacity is 496 MW.  
20 Construction of the Project will be managed by Calpine Eastern  
21 Corporation or its affiliates or subsidiaries. The Project is  
22 scheduled to achieve commercial in-service status during the  
23 second quarter of 2003, and is projected to have a technical  
24 and economic life in excess of 30 years. Firm delivered gas

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 supply will be provided for the Project's operations pursuant  
2 to a contract between Gulfstream Natural Gas System and Calpine  
3 East Fuels, L.L.C., having an initial term of twenty years.

4 The Project will satisfy all applicable environmental  
5 permitting requirements. Gas-fired combined cycle technology  
6 is the most efficient and most environmentally benign electric  
7 generation technology currently available and feasible on a  
8 commercial basis. Analyses prepared by Slater Consulting and  
9 reported in detail in the testimony and exhibits of Kenneth J.  
10 Slater show that the Project's operations can be expected to  
11 have a substantial net beneficial effect on total emissions  
12 from power generation in Florida, reducing total combined  
13 emissions of sulfur dioxide and nitrogen oxides by between  
14 8,000 and 23,000 tons per year.

15

16 **Q: What is the approximate direct construction cost of the Osprey**  
17 **Project?**

18 **A:** The estimated direct construction cost of the Project is \$194.8  
19 million. This equates to \$357 per kW of capacity, calculated  
20 on the basis of the Project's rated capacity of 545 MW at ISO  
21 temperature and relative humidity conditions.

22

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Q: Please give an overview of the financing plan for the Osprey  
2 Energy Center.

3 A: The Project will be constructed and brought into commercial  
4 service solely with funds provided by Calpine Corporation and  
5 its subsidiaries. Calpine Corporation will provide the equity.  
6 The debt will be provided by Calpine through a form of  
7 revolving credit, provided by several investment banks, used to  
8 simultaneously fund the debt portion of the construction and  
9 development costs of multiple Calpine projects.

10

11 Q: Please summarize the transmission arrangements that Calpine  
12 anticipates will be made for connecting the Osprey Project to  
13 the Peninsular Florida transmission grid and for delivering the  
14 Project's output to other Peninsular Florida utilities?

15 A: The Project will be interconnected to the Peninsular Florida  
16 transmission system at Tampa Electric Company's ("TECO") Recker  
17 Substation. Pursuant to TECO's transmission tariff, Calpine  
18 will obtain sufficient transmission capacity to permit the  
19 delivery of the Project's full output to other Peninsular  
20 Florida utilities on a firm basis. The actual transmission  
21 upgrades required have been determined in accordance with  
22 TECO's open access transmission tariff. Pursuant to Calpine's  
23 request and TECO's tariff, TECO issued the Transmission Service  
24 Request Facilities Study report on August 31, 2000. The report



**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 estimated the cost to interconnect the Osprey Project to TECO's  
2 Recker Substation at \$2.4 million. In addition, the cost of  
3 the network upgrades required to provide firm transmission  
4 service was estimated at \$11.5 million.

5

6 **Q: What is the status of the Osprey Project in the development**  
7 **process?**

8 **A:** Preliminary engineering for the Osprey Project is complete,  
9 and detailed design engineering will begin in March 2001.  
10 Calpine has filed the site certification application for the  
11 Osprey Project, which was deemed complete by the Florida  
12 Department of Environmental Protection ("DEP") on April 7,  
13 2000. On December 11, 2000, DEP issued notice of its  
14 determination that the Osprey site certification application  
15 was sufficient. The draft air permit is complete, the Project  
16 site has been annexed into the City of Auburndale, and all work  
17 relative to land use approvals is complete.

18 Calpine has secured, by the payment of substantial  
19 deposits, the rights to a significant number of combustion  
20 turbine generators for delivery between the present and 2004.  
21 As permitting of the Osprey Project goes forward and the  
22 Project's construction timetable becomes firmly established,  
23 two of these already-secured CTGs will be designated for use in  
24 the Osprey Project.

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1           Our affiliate, Calpine East Fuels, L.L.C., has entered  
2           into a Precedent Agreement with Gulfstream Natural Gas System,  
3           L.L.C., for firm gas transportation service for the Project.  
4           With regard to transmission, TECO has completed the  
5           transmission interconnection study and its Transmission Service  
6           Request Facilities Study report. We have formally requested  
7           the reservation of sufficient capacity on TECO's transmission  
8           system, and have submitted the requisite deposit, to  
9           accommodate power deliveries from the Project to Seminole and  
10          to other Peninsular Florida utilities on a firm basis. (In the  
11          event that Seminole does not elect to purchase all of the  
12          Project's output at a given point in time, Calpine would  
13          endeavor to market any available power to other Peninsular  
14          Florida load-serving utilities pursuant to appropriate, cost-  
15          effective contracts.)

16

17   **Q: When is the Osprey Project expected to achieve commercial in-**  
18   **service status?**

19   **A:** Based on the present schedule, Calpine expects to bring the  
20   Osprey Project into commercial operation by June 1, 2003.

21

22   **Q: Please introduce Calpine's other witnesses and the subject**  
23   **matter of their testimony and exhibits.**

24   **A:** Detailed technical information regarding the Osprey Energy

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Center is presented in the testimony and exhibits of Ted S.  
2 Baldwin, whose testimony describes the engineering aspects of  
3 the Project; Richard A. Zwolak, AICP, whose testimony addresses  
4 environmental and permitting issues; Michael D. Petit, who  
5 addresses fuel transportation and fuel supply issues; Kenneth  
6 J. Slater, who addresses the potential impacts of the Osprey  
7 Project's operations on Peninsular Florida power supply costs,  
8 fuel use for power generation, and environmental emissions  
9 associated with power generation; and Michel P. Armand, P.E.,  
10 who addresses transmission issues.

11

12 **Q: What other companies and entities are assisting in developing**  
13 **and permitting the Osprey Project?**

14 **A:** Golder Associates is providing environmental analysis and  
15 permitting support for the Project. Navigant Consulting has  
16 provided certain transmission load flow studies in support of  
17 Calpine's site certification application for the Project. TECO  
18 has provided interconnection studies and transmission system  
19 impact studies and will, pursuant to its FERC-approved  
20 transmission tariff, provide transmission service to  
21 accommodate delivery of the Project's output to Seminole and to  
22 the other Peninsular Florida utilities that purchase power from  
23 the Project. Gulfstream Natural Gas System will provide gas  
24 transportation service to the Project. Slater Consulting and

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 R.W. Beck and Associates have provided assistance with respect  
2 to economic evaluations of the Project in support of the Joint  
3 Petition.

4

5 GENERATING AND NON-GENERATING ALTERNATIVES CONSIDERED

6 Q: What generating alternatives did Calpine consider to the  
7 particular configuration that was actually selected for the  
8 Osprey Project?

9 A: The major available generating alternatives that were examined  
10 and evaluated in arriving at the decision to use the selected  
11 generating technology for the Osprey Energy Center were gas-  
12 fired and oil-fired combustion turbines, gas-fired and oil-  
13 fired combined cycle units, gas-fired steam generation units,  
14 conventional pulverized coal steam units, nuclear steam units,  
15 renewable energy technology, and integrated coal gasification  
16 combined cycle units. Exhibit \_\_\_\_\_ (TRE-4) lists the  
17 generating alternatives evaluated, and Exhibit \_\_\_\_\_ (TRE-5)  
18 summarizes our cost-effectiveness evaluation of the alternative  
19 technologies.

20

21 Q: Why did Calpine select natural gas-fired combined cycle  
22 technology for the Osprey Energy Center?

23 A: Exhibit \_\_\_\_\_ (TRE-5) shows that gas-fired combined cycle  
24 technology is expected to have the lowest levelized life-cycle

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 cost in either intermediate load operation or base load  
2 operation. Projections prepared for Calpine indicate that the  
3 Osprey Project will, subject to the Project's output being  
4 contractually committed to Seminole and to other Peninsular  
5 Florida load-serving utilities, operate as a base load unit,  
6 with annual capacity factors in the range of 86 to 93 percent,  
7 dependent on the routine maintenance planned for each  
8 respective year. These evaluations clearly indicate that the  
9 best choice for Calpine, considering economics and cost-  
10 effectiveness, is gas-fired combined cycle capacity.

11 The selected gas-fired combined cycle technology also  
12 exhibits favorable reliability, long-term flexibility,  
13 environmental, and strategic characteristics. This technology  
14 is proven and extremely reliable, with a forced outage rate of  
15 approximately 2 percent. The technology also has great  
16 flexibility for both intermediate and base load operation; our  
17 design choice allowing for duct-firing and power augmentation  
18 also allows for additional flexibility of operation to meet  
19 extreme demand conditions in Peninsular Florida. As stated  
20 above and in Mr. Slater's testimony, the Project is expected to  
21 have a net beneficial impact on emissions from power generation  
22 for Peninsular Florida, reducing total sulfur dioxide and  
23 nitrogen oxides emissions by approximately 8,000 to 23,000 tons  
24 per year. Additionally, the chosen technology is favorable  
25 considering strategic factors, both from Calpine's and

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Seminole's perspectives. The Project will be fueled by  
2 domestically produced natural gas rather than by imported fuel  
3 that may be subject to interruption due to political or other  
4 events. The Project has a low installed cost and a highly  
5 efficient heat rate, assuring its long-term economic viability.  
6 The Project's gas-fired combined cycle technology is  
7 exceptionally clean and minimizes airborne emissions. Since  
8 the Project will use clean natural gas as its fuel, there is  
9 substantially less risk (than with older, less efficient, and  
10 more polluting power plants) that the Project will be adversely  
11 affected by future changes in environmental regulations.

12 Subject to the Project's output being contractually  
13 committed to Seminole and to other Peninsular Florida load-  
14 serving utilities, the Project will also conserve primary  
15 energy consumed for electricity production in Florida by  
16 displacing generation from less efficient, and less cost-  
17 effective, oil-fired, natural gas-fired, and coal-fired units.  
18 In so doing, the Project will enhance both the overall  
19 efficiency of electricity production and the overall efficiency  
20 of natural gas use, as well as reduce the consumption of  
21 petroleum fuels for electricity generation in Florida, thereby  
22 reducing environmental emissions.

23 The desirability of Calpine's technology choice is further  
24 supported by the fact that other Florida utilities are planning  
25 to add capacity of similar technology and design, and by the

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 fact that the type of power plant proposed by Calpine is the  
2 technology of choice for the large majority of new power plant  
3 capacity planned in the United States.

4

5 **Q: What, if any, non-generating alternatives did Calpine consider**  
6 **in the processes that led it to proceed with the Osprey**  
7 **Project?**

8 **A:** There are no viable non-generating alternatives to the Osprey  
9 Project. Calpine is in the business of providing efficient,  
10 cost-effective wholesale power to other utilities. Based on my  
11 experience, as a wholesale-only power supplier, Calpine does  
12 not engage in end-use conservation programs and is not required  
13 to have conservation goals pursuant to the Florida Energy  
14 Efficiency and Conservation Act. Accordingly, Calpine did not  
15 consider non-generating alternatives to constructing and  
16 operating the Osprey Project.

17

18 **Q: Notwithstanding your position that Calpine does not engage in**  
19 **direct end-use energy conservation programs, will the Osprey**  
20 **Energy Center have any energy conservation effects?**

21 **A:** Yes. The Project, like other gas-fired combined cycle units,  
22 provides energy efficiency benefits by using less primary fuel  
23 to produce a given quantity of electricity and provides  
24 environmental benefits in the form of reduced emissions that

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 would otherwise occur if oil-fired or gas-fired steam turbine  
2 plants, or other fossil fuel baseload or peaking units, were  
3 dispatched instead of the Project. Accordingly, subject to the  
4 Project's output being contractually committed to Seminole and  
5 to other Peninsular Florida load-serving utilities, the Project  
6 promotes and is specifically consistent with the Florida  
7 Legislature's declared goals of enhancing the overall  
8 efficiency and cost-effectiveness of electricity production and  
9 natural gas use, and of conserving expensive resources,  
10 particularly petroleum fuels. The Project is also expected to  
11 provide environmental benefits in the form of reduced sulfur  
12 dioxide and nitrogen oxides emissions that would otherwise  
13 occur if oil-fired or gas-fired steam turbine plants, or other  
14 fossil fuel-fired baseload or peaking units, were dispatched  
15 instead of the Project.

16

**THE SEMINOLE-CALPINE POWER PURCHASE AGREEMENT**

18 Q: What is the status of Calpine's and Seminole's efforts to reach  
19 final contractual arrangements for the purchase and sale of the  
20 Osprey Project's output?

21 A: Calpine Energy Services, an affiliate of Calpine, and Seminole  
22 executed the PPA on December 14, 2000. The PPA sets forth all  
23 of the detailed commercial principles -- e.g., pricing,  
24 duration, and other key terms and conditions -- for the



**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Seminole-Calpine power purchase and sale arrangement.

2

3 **Q: Please describe the basic terms of the PPA.**

4 A: The PPA provides for Calpine to sell and for Seminole to  
5 purchase 350 MW of firm capacity and associated energy from  
6 June 1, 2004 through May 22, 2020, subject to periodic  
7 contractual "reopeners." The "reopener" provisions are  
8 triggered at five-year intervals, and if neither Seminole nor  
9 Calpine affirmatively terminates the PPA, then it will continue  
10 in full force and effect. Additionally, Seminole has the  
11 option to purchase the entire capacity of the Osprey Project  
12 from the Project's commercial in-service date (expected June  
13 2003) through May 31, 2004, to the extent that this capacity  
14 has not been firmly committed to other Florida load-serving  
15 utilities at the time that Seminole wishes to exercise this  
16 option. In addition, beginning on June 1, 2004, Seminole has  
17 the option to purchase the entire remaining capacity of the  
18 Project, i.e., the Project's capacity above the 350 MW already  
19 committed to Seminole on a firm basis, to the extent that this  
20 additional capacity has not been firmly committed to other  
21 Florida load-serving utilities. Throughout the PPA's term,  
22 Seminole has the right, pursuant to notice and pricing  
23 provisions set forth in the PPA, to purchase all of the  
24 Project's energy output associated with the amounts of firm

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 capacity that Seminole is purchasing at any time.

2

3

**CALPINE'S USE OF THE OSPREY ENERGY CENTER**

4 **Q: For what purposes will Calpine use the Osprey Energy Center?**

5 **A:** Calpine will use the Osprey Project primarily to fulfill its  
6 contractual obligations to Seminole. Calpine may also use the  
7 Project to serve the power supply needs of other Peninsular  
8 Florida load-serving utilities that elect to contract with  
9 Calpine for the Project's output.

10

11 **Q: Please give an overview of the projected operations of the**  
12 **Osprey Energy Center.**

13 **A:** Mr. Kenneth J. Slater's analyses of the Florida bulk power  
14 supply market and of the Project's operating economics yield  
15 projections that the Project, with an availability factor of  
16 greater than 94 percent, would be expected to operate between  
17 7,500 and 8,500 hours per year, when operated on an economic  
18 dispatch basis within the Peninsular Florida power supply  
19 system and subject to the Project's output being contractually  
20 committed to Seminole and to other Peninsular Florida load-  
21 serving utilities. We anticipate that the Project will provide  
22 approximately 578 MW (winter) and 496 MW (summer) of capacity,  
23 and between 4,000,000 MWH and 4,400,000 MWH per year of cost-  
24 effective, environmentally beneficial electrical energy, on a

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1       wholesale basis, to Seminole and to other Peninsular Florida  
2       utilities that elect to contract for the Project's output.

3

4       **Q: How likely is it that the Project would make sales of capacity**  
5       **or energy or both to utilities outside Florida, under any**  
6       **scenario?**

7       **A:** It is unlikely that any significant amount of the Project's  
8       output would be sold outside Peninsular Florida under any  
9       scenario. This is a function of several factors, including  
10      relatively low generation costs in the Southeastern Electric  
11      Reliability Council ("SERC") region as compared to those within  
12      Peninsular Florida, recent power shortages and projected tight  
13      reserves in Peninsular Florida, and limited transmission export  
14      capacity from Florida into the SERC region. Of course, this is  
15      why we are seeking the Commission's determination of need that  
16      will enable us to build the Osprey Energy Center in Peninsular  
17      Florida, and why the transmission interconnection facilities  
18      are being designed to accommodate deliveries of power from the  
19      Project to utilities located within the State of Florida. This  
20      is also why Calpine asked Navigant Consulting and TECO to  
21      perform transmission studies for power deliveries exclusively  
22      to load-serving utilities in Peninsular Florida. No out-of-  
23      state export studies were contemplated.

24

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Q: Does Calpine either plan to sell electricity at retail in  
2 Florida or anticipate making retail power sales in Florida?

3 A: No. Selling at retail is not a part of Calpine's development  
4 marketing, or strategic plans.

5

6 Q: What, if any, additional benefits could the Osprey Energy  
7 Center provide to Florida, its citizens, and its electric  
8 ratepayers?

9 A: In addition to fairly dramatic power supply cost savings, the  
10 Project can, subject to the Project's output being  
11 contractually committed to Seminole and to other Peninsular  
12 Florida load-serving utilities, provide enhanced reliability of  
13 electric supply, both through additional generation capacity  
14 and through fuel diversity. This results in reduced losses to  
15 the people and businesses of Florida from service  
16 interruptions. The Project can also be expected to enhance  
17 environmental quality; stimulate economic development through  
18 lower overall electricity costs, increased employment, and  
19 increased local government tax revenues; and transfer the  
20 financial risks associated with owning and operating an  
21 electrical generation facility away from electric ratepayers to  
22 Calpine.

23

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 Q: What, if any, adverse effects would occur if the Osprey Project  
2 were not brought into service, or was delayed in being brought  
3 into service, as proposed by Seminole and Calpine?

4 A: Seminole, other Peninsular Florida load-serving utilities that  
5 would choose to contract for the Project's output, and Florida  
6 would lose all of the benefits that the Project would otherwise  
7 provide. Specifically, Seminole, Seminole's Member cooperative  
8 utilities, those utilities' member-consumers, other Florida  
9 load-serving utilities who would elect to contract with Calpine  
10 for the Project's output, and those utilities' retail customers  
11 would lose the following:

- 12 1. More than 4,000,000 MWH per year of clean, efficient,  
13 cost-effective generation;
- 14 2. The substantial cost savings that would result as the  
15 Project's operation displaces generation from more costly  
16 power plants, on the order of \$150 million per year;
- 17 3. The additional economic value provided by the Project  
18 through (a) lower costs of ancillary services, (b) reduced  
19 losses of economic productivity due to service  
20 interruptions, and (c) enhanced economic development;
- 21 4. The environmental emissions reductions that would result  
22 as the Project displaces generation from less efficient  
23 generation resources;
- 24 5. The risk transference benefits of having Calpine own and

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 operate the Project outside any retail-serving utility's  
2 rate base; and

3 6. The economic development stimulation benefits of the  
4 Project, including lower overall electricity costs,  
5 increased employment, and enhanced local government tax  
6 revenues.

7

8 **COST-EFFECTIVENESS AND ECONOMIC VIABILITY**

9 **Q: Is the Osprey Project the most cost-effective alternative**  
10 **available to Calpine to meet its projected needs for serving**  
11 **its anticipated wholesale customers?**

12 **A: Yes.** As shown in Exhibit \_\_\_\_\_ (TRE-5), gas-fired combined  
13 cycle generation capacity has the lowest expected total cost of  
14 all technologies evaluated for both intermediate and base load  
15 duty. Given our projections that the Osprey Project will  
16 operate as a base load unit, the gas-fired combined cycle  
17 technology that Calpine has chosen is the most cost-effective  
18 alternative available.

19

20 **Q: How were these alternatives evaluated?**

21 **A: These alternatives were evaluated by comparing the estimated**  
22 **levelized life-cycle operating costs of the different**  
23 **technologies in different modes of operation, i.e., operated in**  
24 **peak, intermediate, and base load modes of operation. The**

**AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES**

1 analyses, which are summarized in Exhibit \_\_\_\_\_ (TRE-5), show  
2 that the lowest levelized costs for any technology for  
3 intermediate and base load applications are for the gas-fired  
4 combined cycle technology that Calpine has selected for the  
5 Osprey Energy Center.

6

7 **Q: Do you believe that the Osprey Project will be economically**  
8 **viable? Why or why not?**

9 **A: Yes, I believe that the Osprey Project will be economically and**  
10 **financially viable over its entire useful life. Calpine, not**  
11 **Florida electric ratepayers, bears the investment risk**  
12 **associated with the Project, and as such, Calpine will have**  
13 **very strong incentives to maintain and operate the Project as**  
14 **efficiently and economically as possible. As noted above,**  
15 **subject to the Project's output being contractually committed**  
16 **to Seminole and to other Peninsular Florida load-serving**  
17 **utilities, the Project is expected to operate, on an economic**  
18 **dispatch basis, between 7,500 and 8,500 hours per year, with a**  
19 **very high availability factor over the life of the Project.**

20 Also, the gas-fired combined cycle technology that Calpine  
21 has selected for the Project is the most efficient and the most  
22 economical generation technology currently available on a  
23 commercial basis. Indeed, it is the technology of choice  
24 throughout the U.S. electric industry today.

## AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES

1 Q: What, if anything, could happen that would render the Osprey  
2 Project no longer economically viable?

3 A: Power plant technology, as all technology, is constantly  
4 advancing and being introduced to the market. At some point in  
5 time, new technology will be implemented on a scale of  
6 sufficient magnitude to render today's current best technology  
7 obsolete. This natural obsolescence in generation technology  
8 is traditionally thirty years in the U.S. power market.  
9 Calpine expects that the economic life of the Osprey Project  
10 would be in line with this natural obsolescence cycle.

11 From a more short-term perspective, it is difficult to  
12 envision a circumstance or situation that would render the  
13 Project not economically viable. However, the Commission  
14 should keep in mind that in the event that such an unforeseen  
15 event may occur, Calpine will bear the capital and investment  
16 risk of the Project and that Florida electric customers will  
17 not be exposed to any stranded cost risk or other risks  
18 associated with the Project, as they would be if the same  
19 amount of capacity had been built and included in a traditional  
20 regulated utility's rate base.

21

22



## AMENDED DIRECT TESTIMONY OF TIMOTHY R. EVES

1

REQUESTED COMMISSION ACTION

2 Q: What action are Seminole and Calpine asking the Commission to  
3 take in this proceeding?

4 A: Seminole and Calpine are petitioning the Commission to issue  
5 its order granting an affirmative determination of need for the  
6 Osprey Energy Center. The Osprey Project is needed to meet  
7 Seminole's needs for system reliability and integrity and for  
8 adequate, cost-effective electricity, and, as described in my  
9 testimony, the Project is likewise consistent with Peninsular  
10 Florida's needs for clean, reliable, cost-effective power  
11 supplies. The Osprey Project will provide significant and  
12 substantial economic, efficiency, environmental, and strategic  
13 benefits to Seminole, Seminole's Member cooperatives, those  
14 utilities' member-consumers, and to the other Peninsular  
15 Florida utilities that elect to contract for the Project's  
16 output, and accordingly, the Commission should grant the  
17 requested determination of need.

18

19 Q: Does this conclude your direct testimony?

20 A: Yes, it does.

21

22

23

1                   **MR. WRIGHT:** Ms. Kiesling will handle  
2 **Mr. Baldwin's testimony who is next in our order of**  
3 **witnesses. I'm sorry, Mr. LaVia. Sorry.**

4                   **MR. LaVIA:** The next witness is **Ted S. Baldwin.**  
5 **Mr. Baldwin also has several minor changes to his prefiled**  
6 **testimony. I will provide the court reporter with a copy**  
7 **of these to be inserted.**

8                   **It's at Page 5, Line 13; you add the word**  
9 **"amended" before the word "exhibit." And on Page 5, Line**  
10 **14, add the word "amended" before the words "joint**  
11 **exhibit" -- I mean, "joint petition."**

12                   **And with those changes, I would move that**  
13 **Mr. Baldwin's testimony consisting of ten pages be entered**  
14 **into the record as though read.**

15                   **CHAIRMAN JACOBS:** Without objection, show  
16 **Mr. Baldwin's testimony entered -- as amended entered into**  
17 **the record as though read.**

18                   **MR. LaVIA:** Mr. Baldwin also had several  
19 **exhibits labeled TSB-1 through TSB-12. I request that**  
20 **those exhibits be given a composite number.**

21                   **CHAIRMAN JACOBS:** That is **Composite Exhibit 7.**  
22 **(Exhibit 7 marked for identification.)**

23                   **MR. LaVIA:** And I move that **Composite**  
24 **Exhibit 7 be entered into the record.**

25                   **CHAIRMAN JACOBS:** Without objection, show

1 Exhibit 7 admitted.

2 (Exhibit 7 admitted into the record.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

IN RE: JOINT PETITION FOR DETERMINATION OF NEED FOR THE OSPREY ENERGY CENTER IN POLK COUNTY BY SEMINOLE ELECTRIC COOPERATIVE, INC. AND CALPINE CONSTRUCTION FINANCE COMPANY, L.P.

## DIRECT TESTIMONY OF TED S. BALDWIN, P.E.

1 Q: Please state your name and business address.

2 A: My name is Ted S. Baldwin, and my business address is Two  
3 Urban Center, 4890 West Kennedy Boulevard, Suite 600, Tampa,  
4 Florida, 33609.

5

6 Q: Where are you employed and in what position?

7 A: I am employed by Calpine Eastern Corporation as a Regional  
8 Engineer.

9

10 Q: Please describe your duties with Calpine Corporation.

11 A: I am responsible for the technical aspects related to the  
12 development of power plant projects. These responsibilities  
13 include selection of the plant configuration, the preliminary  
14 plant layout, calculation of plant performance, and oversight  
15 of the environmental permitting process.

16

17 QUALIFICATIONS AND EXPERIENCE

18 Q: Please summarize your educational background and experience.

19 A: I received a Bachelor of Science degree in Mechanical  
20 Engineering from the University of Texas in Austin in 1981.

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 I also received a Masters of Science degree in Mechanical  
2 Engineering from the University of Michigan in 1982.

3

4 **Q: Please summarize your experience in power plant design,**  
5 **engineering, construction, operations, permitting, and**  
6 **licensing.**

7 **A:** I have approximately 18 years of experience in the electric  
8 power industry, working as an equipment engineer, analytical  
9 engineer, boiler engineer, thermal cycle systems engineer,  
10 engineering group manager, director of engineering and now  
11 Regional Engineer for Calpine Eastern Corporation. In those  
12 positions, I have gained a wide range of experience in  
13 electrical power plant design, engineering, construction,  
14 operations, permitting and licensing. As part of my job, I  
15 have assisted in the design of more than a dozen gas-fired  
16 electrical generating plants. Exhibit \_\_\_\_\_ (TSB-1) is my  
17 current resume'.

18

19 **Q: Are you a member of any professional organizations?**

20 **A:** I have been a member of the American Society of Mechanical  
21 Engineers for the past twelve years.

22

23

24

**DIRECT TESTIMONY OF TED S. BALDWIN****SUMMARY AND PURPOSE OF TESTIMONY**

1  
2 **Q: What is the purpose of your testimony?**

3 A: I am testifying on behalf of Calpine Construction Finance  
4 Company, L.P. ("Calpine"), one of the joint applicants for the  
5 Commission's determination of need for the Osprey Energy  
6 Center (the "Osprey Project" or "Project"). I will describe  
7 the main design features of the Project, as well as the  
8 Project's operational reliability and flexibility. I also  
9 will describe the performance characteristics and  
10 environmental profile of the Project, and present the  
11 engineering, procurement, and construction schedule for the  
12 Project.

13

14 **Q: What are your responsibilities with respect to the Osprey**  
15 **Project?**

16 A: In my position as Regional Engineer for Calpine Eastern  
17 Corporation, I oversee the preliminary engineering effort and  
18 regulatory support activities associated with the Project.

19

20 **Q: Please summarize the key features of the Project.**

21 A: The Osprey Project is a state-of-the-art natural gas-fired  
22 combined cycle generation facility. The plant will have  
23 approximately 529 megawatts ("MW") of net generating capacity  
24 based on anticipated manufacturer's guarantees at average

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 ambient site conditions. The Osprey Project's rated winter  
2 capacity will be approximately 578 MW and its rated summer  
3 capacity will be approximately 496 MW. The Osprey Project  
4 will have a high thermal efficiency with a projected heat rate  
5 of approximately 6800 British thermal units ("Btu") per  
6 kilowatt-hour ("kWh"), based on the Higher Heating Value  
7 ("HHV") of natural gas at ambient site conditions. The  
8 Project will utilize state-of-the-art dry low-NO<sub>x</sub> combustion  
9 technology to minimize emissions of nitrogen oxides (NO<sub>x</sub>). In  
10 addition, a selective catalytic reduction ("SCR") system will  
11 be used to further reduce NO<sub>x</sub> emissions.

12 The Osprey Project will be a highly reliable power  
13 generation facility, with an estimated annual equivalent  
14 availability factor of approximately 94.5 percent. The  
15 operations and maintenance plan for the Project will be in  
16 accordance with the equipment manufacturer's recommended  
17 maintenance schedules.

18

19 **Q: Are you sponsoring any exhibits to your testimony?**

20 **A:** Yes. I am sponsoring the following exhibits.

21 (TSB-1): Current resume' of Ted S. Baldwin.

22 (TSB-2): Osprey Energy Center, Project Profile.

23 (TSB-3): Osprey Energy Center, Site Plan.

24 (TSB-4): Osprey Energy Center, Proposed Plot Plan.

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 (TSB-5): Osprey Energy Center, Computer-Generated  
2 Perspective Rendition.

3 (TSB-6): Estimated Plant Performance and Emissions.

4 (TSB-7): Osprey Energy Center, Cycle Schematic Diagram.

5 (TSB-8): Summary of the Design Basis for the Project.

6 (TSB-9): Osprey Energy Center, Electrical One-Line Diagram.

7 (TSB-10): Preliminary Average Annual Water Balance for the  
8 Project.

9 (TSB-11): Preliminary Peak Month Daily Water Balance for the  
10 Project.

11 (TSB-12): EPC Schedule for the Project.

12 I am also sponsoring Tables II-2 and II-3 and Figures II-  
13 3 through II-10 and II-15 in Volume II of the <sup>Amended</sup> Exhibits to the  
14 <sup>Amended</sup> Joint Petition for Determination of Need filed with the  
15 Commission concurrently with this testimony, and the text that  
16 accompanies those tables and figures.

17

18 **PROJECT DESCRIPTION AND ENGINEERING DESIGN**

19 **Q: Please describe the Osprey Project.**

20 **A:** The Osprey Project is a state-of-the-art natural gas-fired  
21 combined cycle generation facility. The plant consists of two  
22 combustion turbine generators ("CTGs"), two heat recovery  
23 steam generators ("HRSGs") and one steam turbine generator  
24 ("STG"). The Project will use wet cooling towers to condense



**DIRECT TESTIMONY OF TED S. BALDWIN**

1 steam back to water for reuse in the HRSGs and STG. The plant  
2 will have approximately 529 MW of net generating capacity  
3 (based on anticipated manufacturer's guarantee) at average  
4 ambient site conditions. The average ambient conditions at  
5 the Project site are 74°F. and 80% relative humidity. A  
6 general profile of the Project is shown in Exhibit \_\_\_\_ (TSB-  
7 2).

8 The Project will also have a net output capability,  
9 without duct-firing or power augmentation, of 545 MW (nominal)  
10 at ISO temperature (59°F.) and relative humidity (60%)  
11 conditions.

12 The Project will utilize dry low-NO<sub>x</sub> combustion  
13 technology to minimize emissions of NO<sub>x</sub>. In addition, an SCR  
14 system will be used to further reduce NO<sub>x</sub> emissions.

15  
16 **Q: Please describe the SCR system that will be used to reduce the**  
17 **Project's NO<sub>x</sub> emissions.**

18 **A:** The SCR system for the Project will consist of a catalyst and  
19 an ammonia injection grid located within the HRSG. When NO<sub>x</sub>  
20 is exposed to ammonia in the presence of the catalyst, the NO<sub>x</sub>  
21 is converted to elemental nitrogen and oxygen.

22  
23 **Q: Please give a brief description of the site for the Osprey**  
24 **Project.**

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 A: The site for the Project consists of approximately 19.5 acres,  
2 situated approximately 1.5 miles southwest of downtown  
3 Auburndale, in Polk County. The site is a non-producing  
4 citrus grove and is currently unused. A detailed description  
5 of the Project site is presented in the testimony of Mr.  
6 Richard Zwolak, AICP, in support of the Project, and in the  
7 exhibits that he is sponsoring in support of the Project.

8

9 **Q: Please summarize the general arrangement and layout of the**  
10 **Project on the site.**

11 A: The general arrangement of the Project is shown on the Site  
12 Plan in Exhibit \_\_\_\_ (TSB-3). Exhibit \_\_\_\_ (TSB-4) shows a  
13 detailed layout of the main Project structures on the site,  
14 and Exhibit \_\_\_\_ (TSB-5) presents a computer-generated  
15 perspective rendition of the Project.

16

17 **Q: Please describe the generating technology of the Osprey**  
18 **Project.**

19 A: The Osprey Energy Center will have an expected net output  
20 capability, without duct-firing or power augmentation, of  
21 approximately 529 MW based on the anticipated manufacturer's  
22 guarantee at average ambient site conditions. As I previously  
23 noted, the power block will consist of two advanced technology  
24 Siemens-Westinghouse Model 501F CTGs, two matched HRSGs that

## DIRECT TESTIMONY OF TED S. BALDWIN

1 include duct-firing capability, and one STG, which has the  
2 ability to utilize steam for power augmentation to increase  
3 output from the CTGs.

4

5 Q: Please define the terms "duct-firing" and "power  
6 augmentation."

7 A: Duct-firing is a process whereby additional gas burners are  
8 placed within the HRSGs to increase the gas temperature and  
9 generate more steam, thus increasing power generation from the  
10 STG. Power augmentation refers to a process in which steam  
11 from the HRSGs is injected into the gas turbines for the  
12 purpose of increasing mass flow through the CTGs, thereby  
13 increasing the electrical power output from the CTGs.

14

15 Q: What will the peak generating capacity of the Osprey Project  
16 be?

17 A: Without duct-firing and power augmentation, the Osprey  
18 Project's rated winter capacity will be approximately 578 MW  
19 and its rated summer capacity will be approximately 496 MW.  
20 With duct-firing and power augmentation, the Project's winter  
21 capacity will be approximately 666 MW and its summer capacity  
22 will be approximately 575 MW.

23

24 Q: What are the Osprey Project's expected heat rate and thermal

## DIRECT TESTIMONY OF TED S. BALDWIN

1        **efficiency?**

2        A: The Project is projected to have a heat rate of approximately  
3        6,800 Btu per kWh, based on the HHV of natural gas at average  
4        ambient site conditions, reflecting a net thermal efficiency  
5        of approximately 50.2 percent.

6

7        **Q: Please describe the performance characteristics of the Osprey**  
8        **Project.**

9        A: The performance characteristics of the generating facility are  
10       summarized in the Plant Performance Table, Exhibit \_\_\_\_\_  
11       (TSB-6). This table presents facility generating output and  
12       emissions data for the Project at various expected ambient  
13       site conditions, at full and part load operation.

14

15       **Q: Please describe the power generation cycle for the Project.**

16       A: The power generation cycle of the Project is depicted on the  
17       overall cycle schematic diagram for the Project on Exhibit  
18       \_\_\_\_ (TSB-7). In brief, natural gas is burned in the CTG  
19       where the expanding combustion gases turn the CTG's shaft to  
20       produce electricity; and exhaust gases exit the CTG and enter  
21       the HRSG at approximately 1100°F. Two HRSGs, one per CTG, are  
22       used to recover heat from the exhaust gases by producing steam  
23       at three different pressure levels. The steam produced in the  
24       HRSGs is then expanded through a single STG to produce

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 additional electrical power. The successive uses of thermal  
2 energy, first in the CTGs and second in the HRSGs and STG, to  
3 produce electricity is why this generating technology is  
4 called "combined cycle."

5

6 **Q: Please describe the design basis for the Project.**

7 A: The design basis for the Project is summarized in Exhibit \_\_\_\_  
8 (TSB-8). The description contained in Exhibit \_\_\_\_\_ (TSB-8)  
9 is accurate and is hereby incorporated by reference into my  
10 testimony.

11

12 **Q: Please describe the basic electrical characteristics of the**  
13 **Osprey Project.**

14 A: The basic electrical characteristics of the Project are set  
15 forth in the Project's electrical one-line diagram, Exhibit  
16 \_\_\_\_\_, (TSB-9). In brief, electrical power is produced at 18  
17 kilovolts (kV) in the CTGs and 16 kV in the STG. Each  
18 generator is connected to a transformer which steps up the  
19 electrical voltage to 230 kV, which is the operating voltage  
20 of the Tampa Electric Company ("TECO") transmission system in  
21 the vicinity of the Osprey Project. Electricity is delivered  
22 to the transmission system through the Recker high voltage  
23 substation owned by TECO. This substation is an existing  
24 substation that will be expanded to accommodate the

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 interconnection of the Project.

2

3 **Q: Please describe the projected fuel use for the Project.**

4 A: At full load, the Project will use approximately 86 million  
5 standard cubic feet of natural gas per day at annual average  
6 site conditions.

7

8 **Q: Please summarize the start-up and emergency power supplies for  
9 the Project.**

10 A: The Project will obtain station service and start-up power  
11 from Tampa Electric Company in order to maintain normal plant  
12 auxiliary loads during periods in which the facility is off-  
13 line and to accelerate the CTGs to a self-sustaining operating  
14 speed during start-up. In the event of a loss of the  
15 transmission system, emergency power for critical components  
16 necessary for safe shutdown of the plant will be provided from  
17 a stationary battery system. The plant is also equipped with  
18 emergency diesel generators to keep the battery system charged  
19 and to provide supplemental power to the plant for other loads  
20 that are not critical. The plant's battery system and  
21 emergency diesel generators will be capable of providing  
22 sufficient power for safe shutdown of each unit and to keep  
23 certain prioritized auxiliaries operating, but will not be  
24 capable of restarting the units.

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 Q: Please give a brief description of the control systems for the  
2 Osprey Project.

3 A: The Project is controlled by a distributed control system  
4 ("DCS"). A DCS is a fiber optic cable network that runs  
5 throughout the plant that picks up control input signals such  
6 as pressure, temperature, or flow, delivers the signals to the  
7 central control computer and then distributes control output  
8 signals such as the opening or closing of a valve or the  
9 starting and stopping of a motor. The control system is  
10 designed to provide full automation of the unit. The gas  
11 turbine sequencer allows the operator to start and stop the  
12 gas turbines automatically. Operator stations are designed to  
13 allow a graphical, intuitive navigation through the plant  
14 processes from a central control room.

15

16

**OPERATIONAL RELIABILITY**

17 Q: Please discuss the operational reliability of the Osprey  
18 Project.

19 A: The Osprey Project will have a high degree of reliability  
20 similar to other state-of-the-art combined cycle generating  
21 facilities.

22 Reliability is often measured in terms of the percentage  
23 of hours a unit is available to produce electricity within a  
24 specified period of time, usually one year. The Osprey

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 Project is expected to achieve an annual equivalent  
2 availability factor of 94.5 percent. This factor will vary  
3 depending on the planned maintenance activities in a given  
4 year, the forced outage rate, the need to take the CTGs off-  
5 line to clean compressor blades, and the need to perform  
6 occasional minor maintenance.

7

8 **Q: What are the expected forced outage and maintenance outage**  
9 **rates for the Osprey Project?**

10 **A:** The forced outage rate for the plant is expected to average  
11 approximately two percent per year.

12 The maintenance (also known as planned) outage rate for  
13 the plant is expected to average 3.5 percent per year, but the  
14 actual rate will vary from year to year in accordance with the  
15 vendor's recommended maintenance cycle for the CTGs. The  
16 Siemens-Westinghouse Model 501F turbines have an 8,000 hour  
17 maintenance cycle. A minor inspection, referred to as a  
18 combustor inspection, will be conducted at the end of each  
19 8,000 hours of operation. A slightly more detailed  
20 inspection, referred to as a hot gas inspection, along with  
21 the combustor inspection, will be conducted at the end of  
22 24,000 hours of operation. A major inspection will be  
23 conducted at 48,000 hours of operation. This cycle will be  
24 repeated for the life of the equipment. Combustor and hot gas



**DIRECT TESTIMONY OF TED S. BALDWIN**

1 inspections take approximately 7 days and 14 days  
2 respectively, and a major inspection takes approximately 21  
3 days.

4

5 **Q: Who will operate the Osprey Project?**

6 A: The Osprey Project will be operated either by an operating  
7 subsidiary of Calpine or by a subcontractor engaged for that  
8 purpose by Calpine.

9

10 **Q: Please describe any special design features or other**  
11 **considerations that are relevant to the Osprey Project's**  
12 **operational reliability.**

13 A: The Osprey Project will be constructed utilizing the most  
14 advanced CTG design with extensive operating experience. The  
15 building configuration and balance of plant equipment will be  
16 typical of designs used throughout the industry for combined  
17 cycle plants. Use of such standard equipment offers the  
18 highest possible reliability.

19

20

**ENVIRONMENTAL PROFILE**

21 **Q: Please summarize the environmental profile of the Osprey**  
22 **Project.**

23 A: The Project will be fueled by natural gas. The Project has  
24 been designed with careful consideration of environmental

## DIRECT TESTIMONY OF TED S. BALDWIN

1 issues and will be one of the cleanest power plants in Florida  
2 and in the United States. It will utilize dry low-NO<sub>x</sub>  
3 combustion technology and an SCR system to minimize NO<sub>x</sub>  
4 emissions. The Project's emissions of critical pollutants are  
5 projected to be approximately as follows (based on an average  
6 ambient conditions of 74°F., 80% relative humidity, with both  
7 CTGs operating at 100% load, and without power augmentation or  
8 duct-firing):

9 Sulfur Dioxide: negligible, less than 19.8 lbs. per hour  
10 (less than 87 tons per year)

11 Nitrogen Oxides: 3.5 parts per million dry volume at 15%  
12 oxygen, or 46.3 lbs. per hour (203 tons  
13 per year)

14 Volatile Organic Compounds: 10.4 lbs. per hour (46 tons  
15 per year)

16 Particulate Matter: 40.1 lbs. per hour (176 tons per year) as  
17 PM<sub>10</sub>

18 Carbon Monoxide: 10 parts per million dry volume at 15%  
19 oxygen, 82 lbs. per hour (359 tons per  
20 year)

21 Operation of the Project is likely to result in  
22 measurable reductions in emissions of SO<sub>2</sub>, CO<sub>2</sub>, NO<sub>x</sub>, and other  
23 air pollutants in Peninsular Florida, due to the Project's  
24 displacement of generation from: (a) units that burn fuels

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 that produce more pollution than is produced by the natural  
2 gas fuel used in the Project, (b) less efficient units, and  
3 (c) units that do not include the types of pollution controls  
4 being utilized by the Project.

5  
6 **Q: Please summarize the projected water requirements and water  
7 supply plan for the Osprey Energy Center Project.**

8 **A:** The Project will require approximately 3.55 million gallons  
9 per day ("MGD") of water calculated on an annual average  
10 basis. At peak conditions with power augmentation and duct-  
11 firing for six hours per day, the Project will require  
12 approximately 4.79 MGD of water.

13 The Osprey Project will utilize a combination of  
14 reclaimed water and ground water for its process and makeup  
15 water supply. Reclaimed water will be supplied from the City  
16 of Auburndale's Allred Wastewater Treatment Plant. The  
17 Project will require the construction of reclaimed water  
18 pipelines to connect with the City of Auburndale's wastewater  
19 treatment facility. The pipelines to the Allred wastewater  
20 treatment facilities will be approximately one mile in length  
21 and will be constructed in existing public rights-of-way.  
22 Additionally, other minor pipeline modifications will be made  
23 to enhance discharge capability. The reclaimed water supply  
24 and return pipelines to Allred will run along the north Recker

**DIRECT TESTIMONY OF TED S. BALDWIN**

1 Highway right-of-way to the Osprey Project site boundary. The  
2 City of Auburndale will obtain the necessary permits for the  
3 water and wastewater pipelines. The remainder of the Osprey  
4 Project's water supply will be provided by new on-site wells  
5 withdrawing water from the Upper Floridan aquifer.

6 The preliminary water balance for the Project at average  
7 conditions is shown in Exhibit \_\_\_\_\_ (TSB-10), and the  
8 preliminary water balance for peak monthly conditions is shown  
9 in Exhibit \_\_\_\_\_ (TSB-11).

**PROJECT SCHEDULE**

10  
11  
12 **Q: Who will be the engineering, procurement, and construction**  
13 **contractor for the Project?**

14 **A:** Calpine Corporation's construction management group will  
15 manage the engineering and construction of the Osprey Project.  
16 Calpine Corporation's construction management group will  
17 specify and procure the major equipment for the Osprey Project  
18 including the CTGs, HRSGs, and the STG. Parsons Energy and  
19 Chemical Group will perform the detailed engineering for the  
20 Project. Calpine Corporation's construction management group  
21 will competitively bid the construction of the Osprey Project  
22 to qualified general contractors with experience in the power  
23 industry, such as H.B. Zachary or The Industrial Company.

24

## DIRECT TESTIMONY OF TED S. BALDWIN

1 Q: Please describe the engineering, procurement, and construction  
2 schedule for the Project.

3 A: The engineering, procurement, and construction schedule (the  
4 "EPC schedule"), Exhibit \_\_\_\_ (TSB-12), provides for the  
5 Project to be designed and brought into commercial service --  
6 i.e., "on-line" -- by the second quarter of 2003. Preliminary  
7 engineering design has already begun and detailed engineering  
8 will begin in February 2001. The general contractor for  
9 construction will be selected in the first quarter of 2001.  
10 The Project schedule provides for approximately 24 months from  
11 Project release to commercial operation.

12

13 Q: What is the current status of the engineering design work for  
14 the Osprey Project?

15 A: Conceptual engineering is complete. A site plan, plot plan,  
16 process flow diagram, electrical one-line diagram, water  
17 balance, capital cost estimate, and operation and maintenance  
18 estimate are also complete.

19

20 Q: Does this conclude your direct testimony?

21 A: Yes, it does.

(Transcript continues in sequence in Volume 2.)

