

**BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION**

**DOCKET NO. 000731-TP**

**In the Matter of**

**PETITION BY AT&T COMMUNI-  
CATIONS OF THE SOUTHERN STATES,  
D/B/A AT&T FOR ARBITRATION OF  
CERTAIN TERMS AND CONDITIONS OF  
A PROPOSED AGREEMENT WITH  
BELLSOUTH COMMUNICATIONS, INC.  
PURSUANT TO 47 U.S.C.  
SECTION 252.**



**ELECTRONIC VERSIONS OF THIS TRANSCRIPT  
ARE A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING  
AND DO NOT INCLUDE PREFILED TESTIMONY.**

**VOLUME 2**

**PAGES 203 THROUGH 399**

**PROCEEDINGS: HEARING**

**BEFORE: CHAIRMAN E. LEON JACOBS, JR.  
COMMISSIONER BRAULIO L. BAEZ  
COMMISSIONER MICHAEL A. PALECKI**

**DATE: Wednesday, February 14, 2001**

**TIME: Commenced at 9:30 a.m.**

**PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida**

**REPORTED BY: JANE FAUROT, RPR  
FPSC Division of Records & Reporting  
Chief, Bureau of Reporting**

**APPEARANCES: (As heretofore noted.)**

DOCUMENT NUMBER-DATE  
02671 FEB 27 2001

**I N D E X****WITNESSES**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**NAME:****PAGE NO.****JOSEPH P. GILLAN**

<b>Direct Examination by Ms. Ockleberry</b>	<b>206</b>
<b>Prefiled Direct Testimony Inserted</b>	<b>208</b>
<b>Prefiled Rebuttal Testimony Inserted</b>	<b>218</b>
<b>Cross-Examination by Mr. Edenfield</b>	<b>240</b>

**JAY M. BRADBURY**

<b>Direct Examination by Ms. Rule</b>	<b>286</b>
<b>Prefiled Direct Testimony Inserted</b>	<b>289</b>

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**EXHIBITS**

<b>NUMBER:</b>		<b>ID.</b>	<b>ADMTD.</b>
9	JPG-1 (Direct), JPG-2 through 4, (Rebuttal)	239	285
10	Verison North/Michigan Court Decision	248	285
11	News Release Off of AT&T Website	274	285
12	JBM-1 through JBM-27	287	
13	JBM-1 through JBM-33	287	

	<b>CERTIFICATE OF REPORTER</b>		<b>399</b>
--	--------------------------------	--	------------

**PROCEEDINGS**

1  
2 (Transcript continues in sequence from  
3 Volume 1.)

4 **MS. OCKLEBERRY:** Good morning, Mr. Chairman and  
5 Commissioners. My name is Suzie Ockleberry, and the next  
6 witness for AT&T is going to be Joe Gillan.

7 **CHAIRMAN JACOBS:** Very well. It has been some  
8 time, Mr. Gillan.

9 **THE WITNESS:** Yes, it has. It's good to see you  
10 again, Mr. Chairman.

11 -----

**JOSEPH P. GILLAN**

12 was called as a witness on behalf of AT&T COMMUNICATIONS OF  
13 THE SOUTHERN STATES, INC. AND TCG SOUTH FLORIDA, INC.,  
14 and, having been duly sworn, testified as follows:

**DIRECT EXAMINATION**

15 **BY MS. OCKLEBERRY:**

16 **Q** Would you please state your name for the record?

17 **A** Joseph Gillan.

18 **Q** And what is your business address?

19 **A** P.O. Box 541038, Orlando, Florida.

20 **Q** And how are you employed?

21 **A** I'm self-employed.

22 **Q** And on whose behalf are you testifying here  
23 today?  
24  
25

1           **A     I am testifying on behalf of AT&T.**

2           **Q     Okay. And did you file or cause to be filed 10**  
3 **pages of direct testimony, I believe it was on November**  
4 **16th of 2000?**

5           **A     Yes.**

6           **Q     And did you also cause to be filed 16 pages of**  
7 **rebuttal testimony on January 3rd of this year?**

8           **A     Yes.**

9           **Q     Do you have any additions, deletions or changes**  
10 **to either your direct or rebuttal testimony?**

11          **A     No, I do not.**

12          **Q     And if I were to ask you the same questions that**  
13 **were in your prefiled direct and rebuttal testimony, would**  
14 **your answers be the same?**

15          **A     Yes, they would.**

16               **MS. OCKLEBERRY: Mr. Chairman, we would ask that**  
17 **the direct and rebuttal testimony be entered into the**  
18 **record as if it were read from the stand.**

19

20

21

22

23

24

25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
2                   **DIRECT TESTIMONY OF JOSEPH P. GILLAN**  
3                   **ON BEHALF OF**  
4                   **AT&T COMMUNICATIONS OF THE SOUTHERN STATES, INC.**  
5                   **AND TCG SOUTH FLORIDA, INC.**  
6                   **DOCKET NO. 000731-TP**  
7                   **NOVEMBER 16, 2000**

8  
9           **Q.     Please state your name and business address.**

10          A.     My name is Joseph Gillan. My business address is P.O. Box 541038,  
11                 Orlando, Florida 32854. I am an economist with a consulting practice  
12                 specializing in telecommunications.

13  
14          **Q.     Please briefly outline your educational background and related**  
15                 **experience.**

16          A.     I am a graduate of the University of Wyoming where I received B.A. and  
17                 M.A. degrees in economics. From 1980 to 1985, I was on the staff of the  
18                 Illinois Commerce Commission where I had responsibility for the policy  
19                 analysis of issues created by the emergence of competition in regulated  
20                 markets, in particular the telecommunications industry. While at the  
21                 Commission, I served on the staff subcommittee for the NARUC  
22                 Communications Committee and was appointed to the Research Advisory

1 Council overseeing NARUC's research arm, the National Regulatory  
2 Research Institute.

3  
4 In 1985, I left the Commission to join U.S. Switch, a venture firm organized to  
5 develop interexchange access networks in partnership with independent local  
6 telephone companies. At the end of 1986, I resigned my position of Vice  
7 President-Marketing/Strategic Planning to begin a consulting practice. Over  
8 the past decade, I have provided testimony before more than 25 state  
9 commissions, four state legislatures, the Commerce Committee of the United  
10 States Senate, and the Federal/State Joint Board on Separations Reform. I  
11 currently serve on the Advisory Council to New Mexico State University's  
12 Center for Regulation.

13

14 **Q. On whose behalf are you testifying?**

15 A. I am testifying on behalf of AT&T Communications of the Southern States,  
16 Inc. and TCG South Florida, collectively referred to as AT&T in my  
17 testimony. Although sponsored by AT&T in this arbitration, I have  
18 approached my testimony from the perspective of competition more  
19 broadly. Interconnection agreements arbitrated between AT&T and  
20 incumbent local exchange carriers frequently provide basis for other  
21 entrants to the local market and the Commission should properly view such  
22 arbitrations as laying the foundation for local competition more generally.

23



1 A. The specific federal rule is 57 C.F.R. §51.315(b) that states:

2 Except upon request, an incumbent LEC shall not separate  
3 requested network elements that the ILEC currently  
4 combines.

5 The above rule was part of a “suite” of combination rules -- §51.315 (a)  
6 through (f) -- that the FCC had initially adopted to implement the  
7 Telecommunications Act of 1996. Two of these rules -- subpart (b) and (c) -  
8 - are important here because collectively they defined the ILECs complete  
9 obligation relating to network element combinations. Viewed together  
10 these rules stated:

11 §51.315(b) -- Except upon request, an incumbent LEC shall  
12 not separate requested network elements that the ILEC  
13 currently combines.

14 § 51.315(c) --Upon request, an incumbent LEC shall perform the  
15 functions necessary to combine unbundled network elements in  
16 any manner, even if those elements are not ordinarily combined in  
17 the incumbent LEC’s network, provided such combination is:

- 18 (1) technically feasible; and  
19 (2) would not impair the ability of other carriers to  
20 obtain access to unbundled network elements or to  
21 interconnect with the incumbent LEC’s network.

22 Unfortunately, through an appellate process that I will not try to summarize  
23 here, the first rule -- § 51.315(b) -- has been reinstated by the Supreme  
24 Court, while the later -- § 51.315(c) -- remains vacated by the Eighth

1 Circuit. Consequently, Issue 4 of this arbitration is needed to clarify  
2 BellSouth's obligation with respect to network elements that it "currently  
3 combines," but which may not yet be physically connected for a specific  
4 customer location.

5  
6 **Q. Why is this issue so important?**

7 A. Widespread competition for average consumers requires that competitors be  
8 able to access and use network elements in a simple and cost-effective  
9 manner. This means, as a practical matter, that entrants must have access to  
10 logical combinations of network elements to provide service. Although it is  
11 possible to "piece together" serving arrangements using individual UNEs,  
12 the past 5 years of experience demonstrates that these "hand crafted"  
13 arrangements are primarily useful to serve larger business customers  
14 desiring more specialized services.

15  
16 **Q. Do you have any data that demonstrates the importance of network  
17 element combinations to local competition?**

18 A. Yes. Actual market experience validates the fundamental lesson that  
19 network element combinations are necessary for widespread competition.  
20 Where network element combinations have been made available – most  
21 particularly, the network element combination known as UNE-Platform (a  
22 loop and port combination) ("UNE-P") – competition has developed far  
23 more rapidly than it in its absence. Exhibit JPG-1 summarizes the impact of

1           UNE-P on competition in New York and Texas, clearly demonstrating the  
2           importance of UNE-P to widespread competition. The rapid growth of  
3           UNE-P documented by the Exhibit is even more dramatic when one  
4           considers that its introduction was hampered by a number of operational  
5           problems in both states. Further, unbundled loops had been available in  
6           New York prior to the passage of the federal Act. Consequently, Table 1 in  
7           Exhibit JPG-1 (comparing competitive activity using UNE-P to that using  
8           unbundled loops by themselves) actually compares the progress made by  
9           UNE-P in the *first* year to the cumulative penetration of unbundled loops  
10          after approximately *five* years.

11

12       **Q.    Do the ILECs themselves understand the importance of UNE-P to local**  
13       **competition?**

14       A.    Yes, the importance of network element combinations to local competition  
15       is well understood as well by the incumbent local telephone industry. No  
16       less ILEC-oriented publication than the United States Telephone  
17       Association's own magazine observed that individual network elements are  
18       difficult to use at volume:

19                    Because of their fragmentary nature, UNEs will be  
20                    operationally difficult to order and to provision on both  
21                    sides. Product packages that comprise appropriate and

1 pre-set UNE combinations could reduce some of the  
2 difficulties.<sup>1</sup>

3 Furthermore, whenever an ILEC confronts the same economic problem as  
4 an ALEC – i.e., how to offer competitive local exchange service on a broad  
5 scale – the answer is no different than what I have discussed here: UNE-P.  
6 For instance, SBC revealed during the review of its merger with Ameritech  
7 that its out-of-region entry strategy was premised on the use of network  
8 element combinations to serve the residential and small business market.  
9 (See Deposition and Testimony of James Kahan on behalf of SBC, Public  
10 Utilities Commission of Ohio, Case No. 98-1082-TP-AMT). Further, in  
11 Pennsylvania, Bell Atlantic was ordered to file a plan to separate its  
12 operation into wholesale and retail affiliates. As part of that filing, Bell  
13 Atlantic (now Verizon) proposed to use UNE-P as its principal entry  
14 strategy. (See Re Structural Separation of Verizon Pennsylvania Inc. Retail  
15 and Wholesale Operations, Pennsylvania Public Utility Commission,  
16 Docket No. M-00001353). When incumbents confront the same conditions  
17 as entrants, they reach the same conclusion: Network element combinations  
18 are the only practical means of offering mass-market services.

19

20 **Q. What must be done to effect broad local competition in Florida?**

21 A. For UNE-P (and other combinations) to be practically useful, they must be  
22 combined to offer service. For instance, to serve a residential customer or

---

<sup>1</sup> *Wholesale Marketing Strategy*, Salvador Arias, Teletimes, United States Telephone Association, Volume 12, No. 3, 1998.

1 small business customer desiring a second line, or to serve a new premise,  
2 elements that BellSouth combines every day in its network must be  
3 combined. The most efficient solution is for BellSouth to combine these  
4 elements -- using the systems and processes that it has already established  
5 to efficiently and routinely combine these same facilities -- and then provide  
6 the entrant with the requested combination. Elements combined in this  
7 fashion would be then also be available for migration to other competitors,  
8 thereby enabling the customer to easily change carriers in the future as well.

9  
10 **Q. How can the Commission order BellSouth to combine elements for**  
11 **entrants that it ordinarily combines for itself?**

12 A. There are two ways for the Commission to make sure that BellSouth  
13 combines elements for entrants that it ordinarily combines for itself. The  
14 first is to simply determine that rule §51.315(b) – which requires that  
15 BellSouth offer network elements that it currently combines – includes  
16 combining elements that it ordinarily combines, even if the particular  
17 elements have not yet been connected for a specific customer. This is the  
18 path chosen by the Georgia Public Service Commission that ruled:

19 that ‘currently combines’ means ordinarily combined within  
20 the BellSouth network, in the manner in which they are  
21 typically combined. Thus, CLECs can order combinations  
22 of typically combined elements, even if the particular

1 elements being ordered are not actually physically connected  
2 at the time the order is placed.<sup>2</sup>

3 Alternatively, the Commission can order that BellSouth combine these  
4 elements under its own authority, as the Michigan Commission has done:

5 The Commission also rejects the argument that Iowa Utilities  
6 preempts state law, even if Ameritech Michigan's  
7 interpretation of the court decision were valid. The decision  
8 reflected the court's conclusion of law that the FCC  
9 overstepped its statutory authority in requiring incumbents to  
10 combine multiple network elements. As argued by AT&T  
11 and MCI, this holding does not inhibit a state commission  
12 from mandating various elements or combinations of  
13 elements under state law. The federal Tele-communications  
14 Act of 1996 explicitly preserves states' authority to impose  
15 requirements that accelerate competition in the local  
16 exchange market beyond what federal law would otherwise  
17 mandate.<sup>3</sup>

18

19 **Q. Should BellSouth be permitted to charge AT&T a "glue charge"**  
20 **when BellSouth combines network elements (Issue 5)?**

---

<sup>2</sup> Order, Georgia Public Service Commission, Docket No. 10692-U, February 1, 2000, at 11.

<sup>3</sup> January 28, 1998 Order, Case No. U-12280, pp. 21-22. (Footnote deleted.) cited again by the Commission in its Order in Cases Nos. U-11104 and U-12143, February 9, 2000.

1       A.    No. BellSouth should only charge a cost-based rate for combining network  
2            elements. To do otherwise would be discriminatory and would simply  
3            inflate the retail prices paid by consumers. Moreover, once elements are  
4            combined, even under BellSouth's narrow reading of § 315(b), it would be  
5            unlawful to separate the elements and they would have to be made available  
6            to other competitors without disruption. If BellSouth were permitted to  
7            inflate its charges for combining elements, then it would distort competition  
8            because it would be less costly for a second ALEC to serve the customer  
9            than the ALEC that won the customer's business in the first instance. Of  
10          course, the greater distortion – and the likely motivation behind BellSouth's  
11          position – would be that it would always be less costly for the customer to  
12          use BellSouth than a competitive entrant.

13  
14       **Q.    Does this conclude your direct testimony?**

15       A.    Yes.

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
2                   **REBUTTAL TESTIMONY OF JOESEPH P. GILLAN**  
3                   **ON BEHALF OF**  
4                   **AT&T COMMUNICATIONS OF THE SOUTHERN STATES, INC.**  
5                   **AND TCG SOUTH FLORIDA, INC.**  
6                   **DOCKET NO. 000731-TP**  
7                   **JANUARY 3, 2001**

8  
9           **Q.     What is your name?**

10          A.     My name is Joseph Gillan. I previously filed direct testimony in this  
11                  arbitration on behalf of AT&T Communications of the Southern States, Inc.  
12                  and TCG South Florida, Inc. (“AT&T”).

13  
14          **Q.     What is the purpose of your rebuttal testimony?**

15          A.     The purpose of my rebuttal testimony is to respond to BellSouth’s testimony  
16                  on two issues:

17                    Issue 4:   What does “currently combines” mean as that  
18                                  phrase is used in 57 C.F.R. §51.315(b)?

19                    Issue 5:   Should BellSouth be permitted to charge AT&T a  
20                                  “glue charge” when BellSouth combines network  
21                                  elements?

22                  Although sponsored by AT&T, my testimony emphasizes the importance of  
23                  correctly resolving these issues on competition more generally. It is not

1 unusual for entrants to rely on AT&T's arbitration to resolve critical issues;  
2 therefore, the Commission's decision here will affect not only AT&T, but  
3 will have a significant impact on other entrants as well.

4

5 **Q. Have you reviewed BellSouth's testimony (Ruscilli, pages 4-12) on this**  
6 **issue?**

7 A. Yes. BellSouth's testimony is a blend of legal argument and economic  
8 rationalization. The goal of its legal argument is to assert that the  
9 Commission has the legal authority to make local entry even more difficult  
10 and expensive, while its remaining testimony tries to justify why it makes  
11 sense to do so. In the rebuttal that follows, I explain that even if BellSouth's  
12 legal reasoning were correct – an issue with which I disagree, but that I  
13 fundamentally leave to the brief – there is no rational justification for making  
14 local competition harder, and therefore more costly, than it already is.

15

16 In support of its basic position that the Commission should make entry more  
17 difficult by sanctioning BellSouth's refusal to offer any combination of  
18 network elements that it currently combines for itself, BellSouth advances  
19 three basic theories:

- 20 \* Forcing entrants to combine elements in inefficient ways will  
21 somehow produce efficient results;
- 22 \* Combining elements for entrants will discourage BellSouth from  
23 introducing innovative new technologies; and

1           \*       Requiring BellSouth to combine elements is "...inconsistent with the  
2                    Act's basic purpose, which is to introduce competition into the local  
3                    market."

4  
5           As I explain below, however, none of these "justifications" can be squared  
6           with standard economic theory. At issue here is a simple choice. Should  
7           BellSouth provision network element combinations in the most efficient  
8           manner (i.e., combining those elements for entrants that it routinely combines  
9           today), or should it be allowed to require additional and unnecessary work –  
10          for both itself and the entrant – to get to the same result? Economics always  
11          favors the "less is more" alternative, because costs and effort that are  
12          unnecessary ultimately result in higher prices and wasted resources. The  
13          same conclusion holds true here. There is one clearly favorable outcome –  
14          i.e., that elements be combined in the most efficient manner – that can be  
15          achieved only if the Commission rejects BellSouth's proposal.

16  
17       **Q,    Before addressing each of BellSouth's arguments in more detail, do you**  
18       **have a preliminary comment?**

19       A.    Yes. These hearings (as currently scheduled) will roughly commemorate the  
20       fifth anniversary of the Telecommunications Act of 1996. This anniversary  
21       provides a useful point from which to consider exactly where local  
22       competition is today, and where it may be heading absent strong action by  
23       this Commission (both in this arbitration and other proceedings). The

1 Telecommunications Act (as well as Florida's own Chapter 364) was  
2 intended to foster a competitive local market. Unfortunately, the initial  
3 optimism that greeted passage of the Act has dissipated in the reality of the  
4 past five years.

5

6 **Q. Do you have any statistics that document the "dissipating enthusiasm"**  
7 **for local competition?**

8 A. Yes. One useful measure of the waning enthusiasm for local entry is the  
9 stock price of competitive entrants. Exhibit JPG-2 (attached) shows that the  
10 stock values of CLECs and IXC's -- i.e., CLECs with a preexisting base of  
11 long distance customers -- have fallen dramatically over the past year. While  
12 ILEC stocks are also down during the period (roughly 19%), their collapse is  
13 nowhere near as dramatic as that experienced by the competitive sector.  
14 CLEC stocks have declined nearly 80% from their 52-week highs, while IXC  
15 stocks are down nearly 70%. Overall, capital markets have effectively shut  
16 their doors to CLEC fund-raising efforts.

17

18 **Q. Why do you believe that local competition has progressed so slowly?**

19 A. A variety of factors have contributed to the poor health of local competition.  
20 To begin, competitive local exchange service is more complicated than many  
21 first believed. The incumbent's inherited network is vast, representing the  
22 cumulative product of more than 100 years of investment. It is an  
23 understatement to observe that this network will not be duplicated any time

1 soon. As a result, widespread competition is dependent upon access to this  
2 network, and is likely to remain dependent upon access to existing network  
3 facilities for some time. While litigation has delayed the process, the fact  
4 remains that establishing cost-based prices, implementing nondiscriminatory  
5 OSS, and embracing policies that encourage efficiency will be necessary if  
6 local competition is to succeed.

7

8 **Q. How does this observation relate to the issues in this proceeding?**

9 A. The past five years has generally demonstrated that hand-crafting competitive  
10 local exchange services – which is fundamentally what entrants must do to  
11 serve customers using their own facilities and network elements obtained  
12 individually – is most viable only for larger, sophisticated business  
13 customers. Expanding local competition to the typical consumer – i.e.,  
14 residential customers and small businesses – requires access to network  
15 element combinations that greatly simplify the competitive process.

16

17 The core “combinations” issue before the Commission in this arbitration is  
18 simple, yet far-reaching. Mass-market competition depends upon *efficient*  
19 provisioning systems structured to minimize cost and accommodate volume.  
20 This same basic conclusion applies with equal force to *new* combinations as  
21 it does to *existing* arrangements. Consumers are unlikely to accept entrants  
22 that can serve an existing line, but cannot provision additional lines or serve  
23 the customer at a new location. Consumers will not benefit from policies that

1 make local competition more complex, more cumbersome and more  
2 expensive. If the Commission wants competition for average consumers,  
3 then it must be committed to policies that make entry more simple and cost-  
4 effective.

5

6 **Q. Do you intend to respond to BellSouth's legal argument?**

7 A. No, not in any detail. Addressing the legal basis to BellSouth's position is  
8 more appropriate to post-hearing briefs than testimony. Without attempting  
9 to render a legal opinion, however, I do believe a number of points should be  
10 considered.

11

12 To begin, it would seem that the central legal issue concerns the limits of the  
13 Commission's discretion – that is, may the Commission evaluate BellSouth's  
14 obligation on its merits, or must the Commission sanction BellSouth's  
15 proposal, without regard for the consequences to Florida consumers. As I  
16 explained in my direct testimony, I believe that the Commission has the  
17 authority to judge the issue on the merits.

18

19 For its part, BellSouth places great emphasis on a decision from the Eighth  
20 Circuit (which the FCC and a number of other parties have requested the  
21 Supreme Court review) that had the effect of leaving vacated an FCC rule  
22 that would have removed any uncertainty that BellSouth was obligated to  
23 combine elements that it routinely combined. The Eighth Circuit's decision,

1           however, does not preclude this Commission from deciding the issue on its  
2           merits. For instance, the United States Courts of Appeals for the Fifth and  
3           Ninth Circuits have determined that it is consistent with the  
4           Telecommunications Act of 1996 and the decision of the U.S. Supreme Court  
5           for state commissions to require ILECs to combine network elements. *US*  
6           *West Communications v. MFS Intelenet*, 193 F.3d 1112 (9<sup>th</sup> Cir. 1999);  
7           *Southwestern Bell Telephone Co. v. Waller Creek Communications, Inc., et.*  
8           *al.*, 221 F.3d 812 (5<sup>th</sup> Cir. 2000). These decisions are attached as Exhibit  
9           JPG-3 and JPG-4, respectively. These decisions have the practical effect that  
10          the ILEC must provide combinations to CLECs where the ILEC ordinarily  
11          combines such network elements to provide service.

12  
13          Moreover, BellSouth never tries to reconcile its position with other FCC rules  
14          that prohibit restricting network elements. For instance, FCC Rule 309(a)  
15          specifically provides:

16                   An incumbent LEC shall not impose limitations,  
17                   restrictions or requirements on requests for, or the use  
18                   of unbundled network elements that would impair the  
19                   ability of a requesting telecommunications carrier to  
20                   offer a telecommunications service in the manner the  
21                   requesting telecommunication carrier intends.

22

1           There is no apparent dispute that BellSouth cannot restrict the use of stand-  
2           alone loops (or switching or transport) to serve only customers who currently  
3           receive service from BellSouth. For instance, when an entrant orders a DS-1  
4           loop to a customer premise, there is no requirement that the customer already  
5           be served over such a facility. BellSouth should not be allowed to restrict the  
6           use of combinations of elements. A combination of elements is just that – a  
7           combination of elements. There is no basis for BellSouth to impose  
8           restrictions on the use of such elements merely because they are provisioned  
9           in combined form.

10

11           In any event, I will generally rely on AT&T's brief to explain why the  
12           Commission has the legal discretion (if not legal obligation) to require  
13           BellSouth to combine for entrants those elements that is "currently  
14           combines" today. The larger purpose of my testimony is to explain why the  
15           Commission should reach this conclusion for the benefit of Florida  
16           consumers.

17

18           **Q.    Moving to the merits of BellSouth's position, what policy rationale does**  
19           **BellSouth use to justify its refusal to combine elements for entrants that**  
20           **it currently combines for itself (or, in the alternative, charge a glue**  
21           **charge)?**

1       A.     BellSouth offers three “policy reasons” for its position. The first of these  
2             justifications is that requiring BellSouth to combine elements would  
3             (Ruscilli, page 7), according to BellSouth:

4                     ... not benefit consumers as a general matter, and  
5                     would unnecessarily reduce the overall degree of  
6                     competition in the market.

7

8       **Q.     Does this conclusion make economic sense?**

9       A.     No. Even BellSouth agrees that consumers benefit when entrants “use the  
10            most efficient method” for providing service (Ruscilli, page 7). This  
11            conclusion – that consumer benefit is tied to efficiency – lies at the heart of  
12            economics. The *reason* that entrants want BellSouth to combine elements is  
13            precisely because that is the *most efficient* way to obtain ordinary  
14            combinations. BellSouth routinely combines elements in the network today.  
15            It is reasonable to expect that its central offices are designed so that facilities  
16            used for routine cross-connection are easily (if not electronically) accessible,  
17            with procedures employed to avoid unnecessary reconfiguration and  
18            investment.

19

20            Remarkably, rather than simply combining elements for entrants at those  
21            points in the network (such as existing cross-connect frames) that BellSouth  
22            has established for precisely this purpose, BellSouth is proposing to create  
23            new environments where entrants would do the same work. Under

1 BellSouth's proposal, entrants would combine elements in collocation space,  
2 or use assembly "rooms" or "points" specially constructed for this purpose  
3 (Ruscilli, page 9). These additional steps – creating the assembly  
4 room/point, and then extending requested elements via new facilities and  
5 additional cross-connections – does nothing but create increased cost and  
6 points of potential failure.

7  
8 The central criterion of "efficiency" is the elimination of unnecessary costs,  
9 yet in the *name* of efficiency BellSouth proposes the opposite result.

10 Importantly, BellSouth's proposal would result in *more* work and *increased*  
11 costs for both itself and new entrants. Even BellSouth would do "more  
12 combining" by cross-connecting the requested elements to the facilities  
13 necessary to extend the elements to the CLEC, not to mention the cost -- in  
14 time, money and space – to create the associated "assembly areas."

15 Expending resources for sole purpose of achieving a less reliable and more  
16 costly environment is a wasteful exercise that can find no support in  
17 economics, common sense or sound policy.

18  
19 **Q. Should the Commission expect *less* competition (as BellSouth claims) if  
20 BellSouth is required to combine elements it routinely combines today?**

21 A. No. Before addressing this point on the merits, however, consider the  
22 following paradox: Would it really make sense for BellSouth – the  
23 incumbent monopolist – to advocate positions that *increase* competition,

1 while AT&T – the entrant – promotes policies that would produce *less*? Of  
2 course not.

3  
4 The more simple and cost effective it is to obtain network elements, the more  
5 customers entrants can reasonably serve. This proposition cannot be denied.  
6 BellSouth’s complaint is not that entrants won’t compete more extensively,  
7 its real complaint is that BellSouth does not want to “share” its network with  
8 competitors.

9  
10 **Q. BellSouth quotes Supreme Court Justice Breyer’s observation that “...is**  
11 **in the unshared, not in the shared, portions of the enterprise that**  
12 **meaningful competition would likely emerge” (Ruscilli, page 7) to**  
13 **support its position. Is BellSouth’s use of Justice Breyer’s opinion here**  
14 **relevant?**

15 A. No. Justice Breyer was addressing the threshold question as to *what* elements  
16 should be made available, while the issue here concerns *how* they should be  
17 offered. The FCC has already addressed the issue raised by Justice Breyer by  
18 concluding that entrants would be impaired -- and that competition would  
19 therefore be less -- without access to the network elements in question.

20  
21 What BellSouth seeks here is to subvert the FCC’s impairment decision by  
22 imposing provisioning practices that would increase the entrants’ cost to use  
23 the network elements to which it is legally entitled. There is nothing in

1 Justice Breyer's analysis that offers support for the proposition that  
2 inefficient provisioning systems will promote competition. If an entrant is  
3 impaired without access to an element, then the law requires that it be  
4 available in a manner that is nondiscriminatory.

5

6 **Q. BellSouth also claims that combining elements for entrants would**  
7 **discourage facilities-investment by BellSouth (Ruscilli, page 8). Is this**  
8 **view reasonable?**

9 A. No. First, BellSouth's objection appears directed more at the TELRIC  
10 pricing standard than the requirement to combine elements (Ruscilli, page 8):

11 ...requiring BellSouth to combine UNEs at cost-based  
12 prices, particularly at Total Element Long Run  
13 Incremental Cost (TELRIC)-based prices, reduces  
14 BellSouth's incentive to invest in new capabilities.  
15 TELRIC-based prices do not cover the actual cost of  
16 elements ...

17 As to the economic properties of the TELRIC pricing standard, BellSouth is  
18 simply wrong when it claims that TELRIC rates do not cover actual cost.  
19 The TELRIC standard explicitly requires that prices accurately reflect the  
20 *forward-looking* cost of network elements for the precise reason that it is an  
21 element's forward-looking cost that will guide investment decisions. Just as  
22 BellSouth's earlier argument was structured to undermine the FCC's

1 impairment analysis, BellSouth's testimony here is nothing more than an  
2 attempt to negate the TELRIC pricing standard.

3

4 Moreover, BellSouth's again misapplies Justice Breyer's opinion for the  
5 proposition that BellSouth would not:

6 ... undertake the investment necessary to produce  
7 complex technological innovations knowing that any  
8 competitive advantage deriving from those innovations  
9 will be dissipated by the sharing requirement.

10

11 It is important to appreciate, however, that there is no "complex technological  
12 innovation" at issue here. BellSouth is refusing to combine basic building  
13 blocks – i.e., loops to ports, or digital facilities (with multiplexing) to  
14 standard interoffice transport – that are generic, not proprietary. It because  
15 these building blocks are *routinely* combined that makes possible the  
16 efficiencies of the present system. There is nothing unique about these  
17 standardized combinations that would give rise to some "complex  
18 technological innovation." This is network engineering, not improvisation.

19

20 **Q. Finally, BellSouth argues that requiring it to combine network elements**  
21 **is inconsistent with the Act's basic purpose (Ruscilli, page 9). Do you**  
22 **agree?**

1       A.     No, not at all. BellSouth's final objection is based on its view that the  
2             Act is intended to "introduce competition" not "subsidize  
3             competitors" (Ruscilli, page 9). On this much, we agree. However,  
4             there is nothing to suggest that requiring BellSouth to combine  
5             elements for rivals that they routinely combine for themselves would  
6             result in less competition or subsidized competitors.

7  
8             Consider the practical reality here. A customer moves into a new home and  
9             AT&T requests the combination (loop and port) needed to serve them. Under  
10            the approach recommended by AT&T, BellSouth would be required to  
11            combine these elements as they routinely do today. Once combined, then  
12            even BellSouth would agree that the combination would be available to other  
13            competitors – including BellSouth – so that the customer could easily change  
14            local carriers in the future. Simple system, low cost, greater competition.

15  
16            In contrast, under BellSouth's proposal, these same elements (loop and port)  
17            would be extended to a *different* location in the central office (such as  
18            AT&T's collocation space or an "assembly room/point") where they would  
19            then be cross-connected. The result: higher costs and additional points of  
20            failure. Moreover, under BellSouth's approach, if the customer sought to  
21            change carriers, then the entire exercise of manually reconfiguring the  
22            requested combination to a different "assembly frame" would need to be  
23            repeated – at least until the customer moved to BellSouth.

1 Finally, it is useful to remember that BellSouth cannot ultimately prevent  
2 entrants from gaining access to the combinations they seek, BellSouth can  
3 only (if allowed) impose costs that are unnecessary. For instance, an entrant  
4 seeking to add a second line can order the line as a retail service (or resold  
5 service), and then migrate that combination to UNEs the next day. Similarly,  
6 an entrant needing an EEL to serve a distant customer can order the facility  
7 as a special access circuit and migrate then it to UNEs as well. It makes no  
8 sense to create a system that doubles the work for every party involved –  
9 ILEC, CLEC and, undoubtedly, the customer itself. Every unnecessary step  
10 injects additional opportunity for failure, and a cost that is a dead-weight loss  
11 to the economy.

12

13 **Q. Should BellSouth be permitted to impose a “glue charge”?**

14 A. No. Even BellSouth acknowledges that the term “glue charge” is  
15 synonymous with “market rate”(Ruscilli, page 10). Of course, if a  
16 functioning “market” existed, there would be no need for UNEs. The  
17 requested facilities are deemed to be “unbundled network elements” precisely  
18 because entrants would be impaired – and, therefore, competition would be  
19 harmed – if they were not available at cost-based rates.

20

21 Furthermore, the entrant is already compensating BellSouth for the elements  
22 it purchases – BellSouth’s “glue charge” is no different than a demand for  
23 above-cost rates. Glue charges must ultimately be recovered in the prices

1 charged to end-users. BellSouth's proposal is nothing more than a request to  
2 inflate its rivals' *costs* so that it may inflate its rivals' *prices*, thereby assuring  
3 that its own monopoly prices are protected from competition. The  
4 Commission should reject its proposal.

5

6 **Q. Does this conclude your rebuttal testimony?**

7 A. Yes.

8

1                   **CHAIRMAN JACOBS: Without objection, show the**  
2 **direct and rebuttal entered into the record as though**  
3 **read.**

4 **BY MS. OCKLEBERRY:**

5           **Q     Mr. Gillan, did you prepare a summary of your**  
6 **testimony?**

7           **A     Yes, I did.**

8           **Q     Could you please give that summary now?**

9           **A     Thank you. Good afternoon, and I will try to**  
10 **make my summary as brief as possible. Which shouldn't**  
11 **really be that difficult because my issue -- I have a**  
12 **single issue that I think is both simple, straightforward,**  
13 **but it is also very important for competition.**

14                   **It is pretty clear by now, five years after the**  
15 **Act has passed that if there is going to be competition at**  
16 **any meaningful level for average consumers, small**  
17 **businesses, residential customers, that it is going to**  
18 **require that companies be able to purchase network element**  
19 **combinations. BellSouth will provide a network element**  
20 **combination for an existing customer, but if you have a**  
21 **customer that is moving into a new home, or they are going**  
22 **to move into a new building, or they are going to add a**  
23 **line, BellSouth is refusing to combine those elements for**  
24 **entrants, even though they do so for themselves each and**  
25 **every day on a routine basis.**

1           **Now, because of a legal process that I am not**  
2 **going to bore you with this morning, we have left -- we**  
3 **are in a position now where this question, whether new**  
4 **combinations that BellSouth ordinarily combines should be**  
5 **treated differently than existing combinations is now an**  
6 **issue that needs to be decided on a state-by-state basis.**  
7 **There doesn't seem to me to be any dispute that this**  
8 **Commission has the authority to decide this issue. That**  
9 **it has the authority to tell BellSouth to combine**  
10 **elements, new elements for entrants. A number of states**  
11 **have done that including Georgia and Michigan.**

12           **Where we seem to have a dispute that BellSouth**  
13 **focuses its testimony on whether they are already required**  
14 **to do this. And, quite frankly, my testimony looks past**  
15 **the debate as to whether they are already required,**  
16 **because I don't think that is as important at this point**  
17 **as recognizing why you should tell them to do so. And**  
18 **that is why we are here so that this Commission will**  
19 **answer this question for the State of Florida.**

20           **Now, there is a couple of reasons why I believe**  
21 **it is important for the Commission to require that**  
22 **BellSouth combine these elements for entrants. The first**  
23 **one is the one I opened with. Facts are today, it is**  
24 **clear, that where entrants have access to network element**  
25 **combinations they move down market, they get into the**

1 residential marketplace. They get into the small business  
2 marketplace and you see a much more rapid proliferation of  
3 competition.

4           We have data from Texas, we have data from New  
5 York and other states where network element combinations  
6 have become available at reasonable prices that  
7 demonstrate that if you are interested in seeing local  
8 competition in Florida, this is the path that you have to  
9 encourage. In addition, over the past five years we have  
10 learned that the ILECs don't really disagree with us on  
11 this point.

12           In those rare instances where an ILEC confronts  
13 the same problem as a CLEC, where they have to look at how  
14 they would go about out of region serving this same  
15 customer group, they reach the same decision that the  
16 CLECs reach.

17           When SBC was looking at developing an outer  
18 region strategy to serve residential and small business  
19 customers, not surprisingly what its business plan showed  
20 is they were going to use UNE-P. When Verizon was told by  
21 the Pennsylvania Commission to come back and tell us how  
22 you would serve Pennsylvania if you were forced to do so  
23 as a CLEC, they showed back up at the door with a plan  
24 based on using UNE-P. So we know that where it is  
25 available people serve these customers and that when the

1 ILECs face the same problem they reach the same  
2 conclusion.

3 In this proceeding, BellSouth wants you to say,  
4 to sanction this it is all right for BellSouth to give  
5 network element combinations for existing customers but  
6 not new customers. This would be foolish. And it would  
7 be foolish for a very simple reason. Common sense, not to  
8 mention economics, tells you that if you want to have  
9 something accomplished, you do it in the simplest and the  
10 easiest way. There is no dispute in this proceeding that  
11 the simplest and easiest way to get network elements  
12 combined is for BellSouth to do it at that point in the  
13 network with the procedures that they already have in  
14 place where they do it each and every day.

15 Instead of doing it where they have designed the  
16 network to combine elements, where they have already put  
17 in place the investment to combine elements, they are  
18 proposing an alternative that requires that they spend  
19 more money, they expend more resources, and the CLEC  
20 expend more resources. More work for everybody. In fact,  
21 if you look at it, in order to avoid combining elements  
22 for AT&T, BellSouth would propose to do more combining to  
23 move the elements off to some other location where AT&T  
24 could do it than if they just combined it to begin with.

25 Now, you know, Rube Goldberg (phonetic) was a

1 humorist, his designs were never intended to be taken  
2 seriously. But this is essentially what BellSouth is  
3 proposing. A system where they would expend more  
4 resources evading the obligation to combine than doing it  
5 on a straightforward basis. Now, obviously when you spend  
6 more time, and more expense, and more capital to do  
7 something that means higher prices, and added complexity,  
8 and additional points of failure for consumers.

9           It is clear that this process of bringing local  
10 competition to customers is hard enough already. It makes  
11 no sense to adopt systems that make it even more expensive  
12 and more difficult. Overall, I think the Commission has a  
13 very simple choice in this proceeding. It can either  
14 resolve this ambiguity in the law by sanctioning  
15 BellSouth's proposal to make local competition even harder  
16 than it already is, or the Commission can simply do what  
17 other states have done. What Tennessee has done, what  
18 Michigan has done, what Georgia has done, and require that  
19 when BellSouth combines elements for itself in its  
20 ordinary course of business it do so for entrants so that  
21 they, too, can compete for new customers and new lines.

22           Now, on a final note, I recognize that the  
23 Commission is going to be looking at a similar issue to  
24 this in its MCI arbitration in a couple of weeks, and I  
25 recognize that the staff recommendation, as drafted at

1 least, would not go down the path that I recommend. But I  
2 think it is important for you to understand that the  
3 question here isn't so much what is the current legal  
4 requirement, the question is what should the requirement  
5 be in this state. And it is clear that establishing a  
6 competitive local market is perhaps the most difficult  
7 public policy objective ever undertaken. And it makes no  
8 sense to make it harder than it already is for people to  
9 bring these services to your average residential and small  
10 business user. Thank you.

11 The thank you was my rhetorical way of  
12 completing it, sorry.

13 MS. OCKLEBERRY: Mr. Chairman, I realize that  
14 Mr. Gillan had one exhibit in his testimony in his direct  
15 and I needed to have that identified as Exhibit 9. It was  
16 prefiled as -- I believe it was JPG-1 through 4.

17 CHAIRMAN JACOBS: Very well. We will identify  
18 that as Composite Exhibit 9.

19 (Exhibit 9 marked for identification.)

20 MS. OCKLEBERRY: Okay. Mr. Gillan is available  
21 for cross-examination.

22 CHAIRMAN JACOBS: Very well. Do you want to get  
23 started now or wait until after lunch?

24 MR. EDENFIELD: We can break for lunch and come  
25 back and start fresh, that is up to you. I will have more

1 than 15 minutes. I will take us beyond 12:30. So if you  
2 want to break now, I will be happy to do that. Whatever  
3 your pleasure is.

4 CHAIRMAN JACOBS: Why don't we do that. Let's  
5 break for lunch and we will come back at 1:15.

6 (Lunch recess.)

7 CHAIRMAN JACOBS: We will go back on the record.  
8 And I think we were done with the summary.

9 MS. OCKLEBERRY: Yes, Mr. Chairman. But I need  
10 to clarify something for the record. I think I got the  
11 exhibits confused. Mr. Gillan had one exhibit in his  
12 direct, which was JPG-1, and then he had 2 through 4 in  
13 his rebuttal. And so if those could be marked as  
14 Composite Exhibit 9.

15 CHAIRMAN JACOBS: Still one exhibit?

16 MS. OCKLEBERRY: Yes.

17 CHAIRMAN JACOBS: Very well. With that  
18 clarification then we would mark that as Exhibit 9. And  
19 Mr. Edenfield.

20 MR. EDENFIELD: Thank you, Chairman Jacobs.

21 CROSS-EXAMINATION

22 BY MR. EDENFIELD:

23 Q Good afternoon, Mr. Gillan. I'm trying to get  
24 my notes together here real quick. I have been fighting  
25 off apparently what has put Commissioner Jaber and

1 **Commissioner Deason out of the playing field today. So if**  
2 **you have any problem understanding me, please tell me to**  
3 **repeat the question because my head is about as stopped up**  
4 **as it can get.**

5 **A If you get a cough in response, forgive me, as**  
6 **well.**

7 **Q We will muddle through it, then. The war of the**  
8 **wounded.**

9 **Just by way of background, you are being paid**  
10 **for your time here today?**

11 **A Yes, I hope so.**

12 **Q You are not an AT&T employee, you are a**  
13 **consultant hired by AT&T?**

14 **A That is correct.**

15 **Q Okay. Now, as I understand the issue that is**  
16 **before us, it is whether BellSouth is going to have to**  
17 **provide to AT&T unbundled network elements or combinations**  
18 **of unbundled network elements that BellSouth ordinarily**  
19 **combines in its network or either combinations that**  
20 **BellSouth, in fact, already combines in its network, is**  
21 **that your understanding of the issue?**

22 **A I think so. You drew a distinction between**  
23 **ordinarily combines and already combined, which I don't**  
24 **know if you did for a purpose. I would interpret those**  
25 **two phrases to mean the time thing. And then the only**

1 other caveat I would attach to that is while the issue --  
2 the way the Telecom Act works, this is feed up in terms of  
3 will AT&T have this opportunity. I think as a practical  
4 matter you are making a decision for a much broader base  
5 of carriers and it is useful to keep in mind.

6 Q Let me give you a more specific example so we  
7 can try to frame the issue here. It is BellSouth's  
8 position, I assume you would agree, that AT&T is entitled  
9 to a combination of elements that already exist in the  
10 network and are actually providing service to an end user.  
11 That in that instance AT&T is entitled to that  
12 combination. Do you agree with that?

13 A Yes.

14 Q And what BellSouth is objecting to is having to  
15 provide combinations of network elements where those, the  
16 particular combination you are requesting for a particular  
17 end user does not already exist?

18 A Well, you are objecting, as I understand it, to  
19 combining those elements where the combining doesn't  
20 already exist. As I understand it, as a practical matter  
21 you will provide the element even if the element doesn't  
22 already exist. The only thing you are objecting to is  
23 that you refuse to combine them so that they actually work  
24 and are useful to somebody.

25 Q And, in fact, we will combine them for you, but

1 we expect to be compensated at a market-based rate for  
2 that combination, right?

3 A Well, yes. But that is a very polite way of  
4 saying that you will combine it for AT&T or an entrant as  
5 long as you can charge them a rate that makes it  
6 uneconomically attractive for them to serve the customer.  
7 I mean, when you use the word market rate, we should keep  
8 in mind that as a monopoly that would otherwise win the  
9 customer, your incentives to make that market rate do  
10 anything other than foreclose entry is pretty limited.

11 Q What is the rate that BellSouth is asking AT&T  
12 to pay for combining network elements?

13 A If I recall from -- I have not seen that market  
14 rate.

15 Q You don't know what it is, but you just know  
16 it's too high?

17 A I have seen the market rate you charge where you  
18 don't have to provide unbundled local switching. And  
19 since that to me provides an indication of how you view  
20 market rates, and that is an additional \$14 a month that  
21 you would impose on customers, or thereabouts, I have no  
22 reason to believe you would adopt a different strategy.  
23 But you're right, I don't know what the specific rate  
24 would be.

25 Q Okay. Now, the particular FCC rule that we are

1 **talking about here is 51.315(a), or I'm sorry, (b)?**

2 **A That is one of the rules, yes.**

3 **Q Okay. And, in fact, I'm looking at Page 4 of**  
4 **your direct testimony. You cite a couple of rules there.**  
5 **51.315(b) and 51.315(c), and that is on Lines 11 through**  
6 **21 of your direct. Do you see that?**

7 **A Yes.**

8 **Q And the way I interpret 315(c) and tell me if**  
9 **you agree with this, is this is the rule that required**  
10 **BellSouth to actually combine -- do the work necessary to**  
11 **combine network elements for requesting ALECs?**

12 **A No, I think that is an oversimplification. I**  
13 **mean, there is clearly some ambiguity here. I think, you**  
14 **know, the issue is how should the Commission resolve it.**  
15 **But 315(c) can be read to refer to situations where you**  
16 **are doing things that are not ordinary, that you are**  
17 **creating new types of combinations. And 315(b) in that**  
18 **framework can be interpreted to include separation of**  
19 **network elements that are already connected as well as**  
20 **anything that the ILEC currently combines.**

21 **There is a poor choice of wording in this two**  
22 **rules, I think we have to all admit that. But that**  
23 **clearly this obligation that we are talking about could**  
24 **either be in the interpretation of 315(b), or as you are**  
25 **trying to portray, in 315(c).**

1           **Q**     All right. You will agree with me that the term  
2 ordinarily combined exists in 315(c), but does not exist  
3 in 315(b)?

4           **A**     The term ordinarily combined past tense exists  
5 in 315(c). The term currently combines is in 315(b).

6           **Q**     So the answer to my question is yes, the term  
7 ordinarily combined exists in 315(c) and that same term  
8 does not exist in 315(b)?

9           **A**     Correct. But the issue is when you use the term  
10 ILEC currently combines, are we referring to things that  
11 you ordinarily, i.e., currently combine. It's this mix up  
12 in the tenses between these two words that creates this  
13 ambiguity.

14                   And, again, my testimony doesn't really go to  
15 trying to argue whether or not this ambiguity should be  
16 resolved one way or the other, because that is a legal  
17 issue that would seem to me to be more appropriate to  
18 brief. My testimony goes to a very simple point. You can  
19 do this so that it makes it possible for local competition  
20 more simply or you can create another barrier. And it  
21 makes no sense to create the barrier given the fact that  
22 it is up to the Commission to tell us what do these things  
23 mean.

24           **Q**     I think you are reading a lot more into my  
25 question. My question is not nearly that deep. My

1 question simply on its face is does this phrase exist in  
2 (c) and does that phrase not exist in (b)?

3 A In the past tense it exists in (c), and in the  
4 present tense I believe it exists in (b) in terms of  
5 currently combines means ordinarily combines because that  
6 is why it is currently combines.

7 Q We can do it easy or we can do it hard. Show me  
8 in 315(b), when you read that show me where the words  
9 ordinarily combined exist in that definition.

10 MS. OCKLEBERRY: Mr. Chairman, I'm going to  
11 object to the question. I believe it has been asked and  
12 answered of the witness. I think he said initially on the  
13 second time the question was asked that is correct, and he  
14 proceeded to give his explanation about that. So I would  
15 object on that basis.

16 MR. EDENFIELD: I will certainly admit that I  
17 have asked it a number of times, but I have not gotten an  
18 answer. All I'm trying to find out is a simple yes or no,  
19 and frankly I haven't gotten anything near that yet.

20 MS. OCKLEBERRY: Mr. Chairman, I believe he did  
21 say that is correct to his question and went on to  
22 explain, and that's when Mr. Edenfield responded my  
23 question is not nearly as deep, but Mr. Gillan did provide  
24 an answer to his question.

25 CHAIRMAN JACOBS: I believe he did answer, you

1 are correct. However, if you didn't get to the subject  
2 matter that you were trying to get at, I will allow you to  
3 rephrase the question, but very briefly.

4 MR. EDENFIELD: I will just move along.

5 CHAIRMAN JACOBS: Okay.

6 BY MR. EDENFIELD:

7 Q Will you agree with me, Mr. Gillan, that Rule  
8 315(c) has been vacated by the Eighth Circuit Court of  
9 Appeals?

10 A Yes, it has.

11 Q Let's turn to your -- actually, before we do  
12 that. You had mentioned in your summary a couple of  
13 decisions, one from Georgia and one from Michigan, I  
14 believe?

15 A Yes.

16 Q And you cite those for the proposition that  
17 BellSouth should combine for AT&T elements that ordinarily  
18 exist or are ordinarily combined in BellSouth's network,  
19 is that the reason you cite those two cases?

20 A I cite those as two of the ways that the  
21 Commission can reach its decision. My testimony goes as  
22 to why it should require BellSouth to combine the elements  
23 and then point out that states that have addressed this  
24 issue have more or less used two different legal  
25 techniques to implement it. One by adopting an

1 interpretation of 315(b), or, two, by doing it under their  
2 own authority. And I really didn't make any  
3 recommendation as to which of those legal techniques would  
4 be preferable, it seems to me that is an issue for briefs.

5 Q But it is your position that the Michigan  
6 Commission has made a ruling concerning UNE combinations  
7 that is consistent with AT&T's position in this  
8 proceeding?

9 A Yes.

10 Q Let me hand you a copy of a case out of the  
11 United States District Court for the Western District of  
12 Michigan, Verizon North Incorporated versus John Stand.  
13 And once it makes it around to Chairman Jacobs, I would  
14 ask that it be marked for identification.

15 CHAIRMAN JACOBS: Let me mark it as --

16 MR. EDENFIELD: I believe we are up to Number  
17 10.

18 CHAIRMAN JACOBS: Exhibit 10 it is.

19 (Exhibit 10 marked for identification.)

20 BY MR. EDENFIELD:

21 Q And if I could get you -- if you look up in the  
22 upper right-hand corner of what has been identified as  
23 Exhibit 10, you will see page numbers. If you will turn  
24 to Page Number 10 of this exhibit. And will you accept,  
25 subject to check, that what is on appeal here, that what

1 **Verizon has appealed is a decision of the Michigan**  
2 **Commission ordering Verizon North to provide combinations**  
3 **of network elements that ordinarily are combined in**  
4 **Verizon's network as opposed to elements that actually**  
5 **exist and are already combined in Verizon's network?**

6 **A Subject to check, yes.**

7 **Q Now, take a look, if you look in the column on**  
8 **the right-hand side of the page, the first full paragraph**  
9 **that starts, "Where the network elements are not already**  
10 **combined," take a second and read that paragraph for me if**  
11 **you would.**

12 **Have you read that, Mr. Gillan?**

13 **A Yes.**

14 **Q Will you agree with me that what the District**  
15 **Court out of the Western District of Michigan has done to**  
16 **the Michigan Public Service Commission's decision is say**  
17 **that under the Federal Telecommunications Act it is the**  
18 **duty of the requesting carriers, not the incumbent LECs,**  
19 **to combine the elements. The court goes on to say,**  
20 **"Accordingly, the court finds that the MPSC, which is the**  
21 **Michigan Public Service Commission's order that Verizon**  
22 **provide bundling at the behest of competitive LECs**  
23 **conflicts with and is preempted by the Federal**  
24 **Telecommunications Act.**

25 **Sir, will you agree me that the United States**

1 **District Court has reversed the Michigan Public Service**  
2 **Commission's decision that you cite in your testimony?**

3 **A Well --**

4 **Q I'm sorry, I should not say the decision itself.**

5 **Certainly the proposition that you cite that case for in**  
6 **your testimony has been reversed by the district court in**  
7 **Michigan?**

8 **A Well, I will agree that this says what it says,**  
9 **but also it is important to put this into context.**

10 **Subsequent to this decision, the Michigan Commission also**  
11 **came back and interpreted 315(b)'s use of the term**  
12 **currently combines to include ordinarily combines in the**  
13 **network so that the practical effect continues to be the**  
14 **Michigan Commission working to open up local markets.**

15 **Secondly, I think it is important to recognize**  
16 **that as I understand the legal system of appeal, this is a**  
17 **lower court than the Fifth Circuit and the Ninth Circuit**  
18 **Court of Appeals that have basically supported the**  
19 **proposition that states can order this type of activity to**  
20 **occur. And my understanding is that the Michigan**  
21 **Commission intends to take this on appeal to its --**  
22 **through its process.**

23 **You know, I want to make clear in my testimony I**  
24 **am not a lawyer, and a lot of this is issues for brief.**

25 **But I will concede that it is ambiguous. My testimony**

1 goes to given the ambiguity, because you can't argue that  
2 this Commission is precluded, that this Commission should  
3 do the right thing, because the right thing is very  
4 important for local competition.

5 I recognize that when you file your brief you  
6 are going to say the courts say no, and AT&T is going to  
7 file a brief that say that the court says yes. And even  
8 as a layperson reading all these court decisions, it is  
9 clear to me that it is going to come down to and the  
10 threshold question, will this Commission order it before  
11 we will ever get another answer.

12 Q Mr. Gillan, I understand you're not a lawyer,  
13 but you cite a lot of legal cases, a lot of legal  
14 decisions in your testimony. Will you agree with that?

15 A Yes, for the proposition that at the end of the  
16 day this is a decision for this Commission to make here  
17 and now. Because you are not going to find the answer in  
18 those court -- I don't find the answer in those court  
19 cases. AT&T will have a legal position and you will have  
20 a legal position. But certainly this one court decision,  
21 it's only context is we have this one decision from a  
22 lower court, we have the Ninth Circuit Court of Appeals,  
23 we have the Fifth Circuit Court of Appeals. We have some  
24 of these issues before the Supreme Court. At the end of  
25 the day, the real issue here is if you are going to have

1 local competition in Florida, this Commission has to find  
2 a way to make it possible for entrants to serve new  
3 buildings and additional lines.

4 Q In part of your discussion a moment ago, Mr.  
5 Gillan, you mentioned that the Michigan Commission has  
6 done something interpreting 315(b) subsequent to the date  
7 of this decision?

8 A Yes, that is -- yes. That they interpreted the  
9 phrase currently combines to include elements ordinarily  
10 combined in the network.

11 Q Do you have a date for that decision?

12 A Yes, I could. If we take a three-minute break,  
13 I would have to boot up my computer and look at it.

14 Q We can do that later. All right. Let's move  
15 along to an exhibit that you have in your testimony.  
16 JPG-1, which is your direct testimony.

17 Well, let me ask you this before we move to your  
18 exhibit. When you cited this Michigan case, did you have  
19 any idea that the proposition for which you were citing it  
20 had been reversed by a district court?

21 A The answer to that is no, and I don't believe it  
22 would have been possible. My testimony was filed November  
23 16th and the district court decision was December 5th. So  
24 I'm willing to make predictions, but not that one.

25 Q Now, your rebuttal testimony as I understand it

1 was filed January 3rd?

2 A That is correct.

3 Q Did you mention in your rebuttal testimony the  
4 fact that the case you had asked this Commission to rely  
5 upon, the proposition for it at least had been reserved?

6 THE WITNESS: No. But, again, I think you are  
7 mischaracterizing my testimony. My testimony is that I  
8 believe the Commission should do this, and that there is  
9 at least two ways. One is through its interpretation of  
10 315(b), which a number of states have done. Another way  
11 is through the Commission finding it on its own authority.  
12 It seems to me that which of those two ways is the better  
13 legal path is the subject of brief, not my testimony. And  
14 that's why I don't get into this area.

15 Q You don't get into it, but you put it in your  
16 testimony.

17 A Well, I put it in my testimony to identify there  
18 are two paths. And I think I made clear in my testimony  
19 that I wasn't really telling the Commission which of the  
20 two to take, that that would be developed in the briefing  
21 process.

22 Q Okay. Let's take a look at your Exhibit JPG-1  
23 in your direct. And if I understand what you are trying  
24 to demonstrate to the Commission with this exhibit is that  
25 once the UNE-P became available in Texas and New York,

1 that suddenly competition was invigorated, or expanded, or  
2 increased, or whatever. Am I reading what you are trying  
3 to say there correctly?

4 A Yes. That UNE-P fundamentally produces  
5 competitive activity orders of magnitude larger than the  
6 other entry strategies. And furthermore that it is  
7 generally used by carriers to move down market into  
8 customer segments that otherwise did not really see any  
9 meaningful competition.

10 Q So I take it then by the fact that you only  
11 cited New York and Texas that the only places that -- the  
12 only states that AT&T actually has the UNE-P are in New  
13 York and Texas?

14 A No, I actually cited it because when you looked  
15 out over the nation pretty much in, say, the middle of  
16 last year, these were really the two markets that had done  
17 the most to get it implemented. And these were the data  
18 points that I had. I mean, where AT&T is purchasing  
19 UNE-P, I don't really know. But in my role as an industry  
20 consultant where I work with a lot of UNE-P carriers and a  
21 lot of companies that are trying to use this entry  
22 strategy to go after residential consumers and small  
23 business users, I became aware of these statistics that  
24 demonstrated how much more robust the entry strategy is.  
25 There are other statistics, as well.

1           **Q**     **I'm sorry, I didn't mean to interrupt you there.**  
2 **In the course of doing this research that you are talking**  
3 **about, did you look at other states where the UNE-P is**  
4 **available to AT&T?**

5           **A**     **I didn't look at other states at the time I**  
6 **filed this testimony. For a completely different**  
7 **activity, I recently look at Georgia and was able to get**  
8 **some UNE-P numbers and they fall right in line with the**  
9 **overall pattern of activity. Basically, between the end**  
10 **of 1999 and June of 2000, UNE-P -- BellSouth made UNE-P**  
11 **available according to BellSouth in the February 2000 time**  
12 **frame. So this would capture when it was first**  
13 **introduced. And roughly 70 percent of the UNE activity in**  
14 **Georgia is UNE-P in that first six months even though it**  
15 **had just been introduced.**

16                   **And, in fact, UNE-P had achieved in that very**  
17 **small window the same level of competitive penetration**  
18 **that UNE loops by themselves achieved in June of 1999**  
19 **after being available for your years. So it paints that**  
20 **same picture of when UNE loops are out there by themselves**  
21 **you get very modest, indeed insignificant or trivial**  
22 **levels of competition. UNE-P comes into a market, you**  
23 **have a very explosive ramp up. That data confirms it.**  
24 **That is really the only macro data I have.**

25                   **I speak with carriers all the time and I'm aware**

1 of the types of growth that they are experiencing in other  
2 states such as Michigan and other places that are --  
3 finally we are getting this UNE-P log jam broken open, and  
4 their reports backs to me are consistent with this. But I  
5 don't have publicly available data that I can cite to you  
6 and give you documented evidence.

7 Q Okay. Will you agree with me that AT&T has  
8 UNE-P available to it in more places than just New York,  
9 Texas and Georgia?

10 A Only in a sense. One of my client bases is a  
11 group of carriers called the PACE Coalition, which stands  
12 for promoting active competition everywhere, and they are  
13 basically the group of carriers that use UNE-P. AT&T, by  
14 the way, is not a member of that because these are smaller  
15 carriers that come in adopting these interconnection  
16 agreements and then come in serving residential and  
17 business customers.

18 Q Well, if you can focus on --

19 A As a practical matter, talking to them, UNE-P is  
20 only practically available in, I would say, New York.  
21 They are coming into Georgia, they are experimenting in  
22 other BellSouth states. They would like to enter Florida.  
23 There is a pricing problem, we don't need to talk about  
24 that. Texas. The Oklahoma/Kansas situation is not  
25 something that there is a lot of activity, a lot of

1 interest in the Ameritech region, but there are  
2 provisioning problems. So it is still available in a very  
3 limited basis. But everywhere it has been made available  
4 that I'm aware of I get data that confirms this picture.

5 Q Somewhere in there -- I have no idea whether you  
6 answered the question or not. Let me ask it again, and if  
7 you could just try to stick to answering the question I'm  
8 asking, it might help us get out of here in two days.

9 What I'm asking you is does AT&T have available  
10 to it to provide service in states other than New York and  
11 Texas and Georgia the UNE-P?

12 A Okay. My answer was I don't know what AT&T has  
13 available to it, because I don't actually give them  
14 business consultant advice. The people that I do give  
15 business consultant advice that pursue this entry  
16 strategy, these are really the main states that are -- we  
17 are getting more information as other states make it  
18 available. But we haven't quite hit flashpoint yet.

19 Q How many UNE-Ps is BellSouth -- is AT&T using to  
20 provide local residential service?

21 A I don't know what AT&T's numbers are. The data  
22 that I'm able to collect is always data that is in the  
23 public record. And that is aggregated up and not  
24 company-specific.

25 Q So you can't tell by looking at these numbers

1 that you have cited whether AT&T has actually had an  
2 increase in the number of customers it is serving in New  
3 York and Texas via the UNE-P, you can't break it out to  
4 that level of granularity?

5 A Well, first of all, I cannot break out these  
6 numbers into that level of granularity. Nor, quite  
7 frankly, do I think anyone should. Because the real  
8 question is when you arbitrate one of these  
9 interconnection agreements from AT&T, you are setting the  
10 standards for an entire industry. And the question is how  
11 many carriers are going to be able to use this and what  
12 are they going to do.

13 I do have other public data that AT&T has  
14 announced about its penetrations in Texas and New York. I  
15 can't recall Texas off the top of my head, but I'm pretty  
16 certain that AT&T was around a million access lines in New  
17 York by the middle of last year. So I know this ramp up  
18 continued on, but I don't have public data. I just have  
19 press releases from other carriers and things to continue  
20 to confirm that we have this ramp up of activity,  
21 residential markets.

22 Q And as I understand what you are telling me, it  
23 is the Commissions in New York and Texas making the  
24 respective ILECs there provide AT&T with the UNE-P that  
25 has stimulated competition in New York and Texas, is that

1 the gist of what you are saying?

2           **A**     Well, I think, yes, that the UNE-P becoming  
3 available is what stimulated the competition in those  
4 states, and it had to do with the fact that not just that  
5 they made it available to AT&T. Because, again, my  
6 testimony tried to focus on this from a broader industry  
7 perspective. It then lowered the barriers so that you had  
8 a bunch of other carriers come into the market with  
9 different innovations using UNE-P serving residential and  
10 small business customers. So it wasn't just AT&T's entry,  
11 it was the sort of panoply of carriers that have come into  
12 those markets.

13           **Q**     Let's talk about another potential stimulant to  
14 local competition for New York and Texas. Will you agree  
15 with me that both New York and Texas have been granted  
16 permission by the FCC to offer long distance services in  
17 those states?

18           **A**     Yes. After they complied with the law and made  
19 UNE-P available, they got their 271 relief.

20           **Q**     So other than offering the UNE-P, the other  
21 thing these guys have in common is they can offer long  
22 distance service?

23           **A**     Well, that's what these have in common. But,  
24 like, Georgia doesn't have that in common and we are  
25 seeing the same pattern there. And I know in Michigan,

1 while I don't have numbers to document it, Michigan is  
2 just getting UNE-P up and running and people report back  
3 to me that they are making successful penetrations there.

4           And a lot of -- you know, I just think -- there  
5 is fallacy here, this notion that somehow people finally  
6 entered the local market because these two states were  
7 going to get 271. They finally had these numbers because  
8 they had the tool. And wherever this tool has become  
9 available, regardless of where they are in the process of  
10 271, you see similar ramp ups.

11           Q     Well, let's talk about this, as you call,  
12 coincidence of AT&T entering the local market about the  
13 same time that New York got long distance relief. Take a  
14 look at what Ms. White is handing out to you. And I will  
15 represent this as a news release taken off the AT&T  
16 website. And this is dated December 1st, 1999, which is  
17 just a few weeks before New York was given interLATA  
18 relief by the FCC. Will you agree with that? Does that  
19 appear --

20           A     Subject to check, I will agree. I think it is a  
21 month or more, but that's okay.

22           Q     Well, you agree that -- I mean, you do know that  
23 Verizon or Bell Atlantic New York received interLATA  
24 relief in December of 1999, don't you?

25           A     I believe they got the authority. My

1 understanding was that they were able to effect that  
2 authority after the new year. But that's okay.

3 Q Certainly you will agree that this news release  
4 is within a month or so of 271 relief being granted to  
5 Verizon in New York?

6 A Okay.

7 Q Well, I'm asking do you agree with that?

8 A Well, I have no reason to disagree. But I don't  
9 want to argue about it, either. Fine, I said I accept it.

10 Q All right. Take a look and read the first  
11 couple of paragraphs there.

12 CHAIRMAN JACOBS: We'll go off the record for a  
13 moment.

14 (Off the record briefly.)

15 THE WITNESS: I have read the first couple of  
16 paragraphs. I don't know how far you want me to read it.

17 BY MR. EDENFIELD:

18 Q I'm sorry, I didn't know. I'm sorry, I'm over  
19 here daydreaming. Will you agree with me that the  
20 function of this news release, at least from reading it,  
21 appears to be AT&T's introduction of what they are terming  
22 a new service called AT&T local one rate for New York?

23 A Okay. Yes.

24 Q And if you turn over to the second page, take a  
25 second and read that. Basically the first, I don't know,

1 four or five paragraphs there, take a look at those. Take  
2 a look at that first full paragraph up there that starts,  
3 "AT&T is initially providing," do you see where I am?

4 A Yes.

5 Q If you look at the second sentence there, it  
6 says the company ultimately intends to use its own  
7 facilities.

8 Will you agree with me that at least according  
9 to this press release that AT&T intends to provide local  
10 service, local service over its own facilities eventually?

11 MS. OCKLEBERRY: Mr. Commissioner, I'm going to  
12 object to the question. That is an inadequate  
13 characterization of what the document says. It says the  
14 Company ultimately intends to use its own facilities where  
15 feasible. So I think he is taking the line out of  
16 context.

17 MR. EDENFIELD: Certainly if Mr. Gillan doesn't  
18 agree with my characterization of it he has it sitting  
19 there right in front of him, he can tell me if he doesn't  
20 agree. I don't think we need Ms. Ockleberry to tell him  
21 what it says.

22 CHAIRMAN JACOBS: Well, I think we can agree  
23 that this says what it says. So you can respond to the  
24 document as you read it.

25 THE WITNESS: To be honest, you took the words

1 right out of my mouth, Mr. Chairman. It says what it  
2 says. It says that AT&T would like to do that. I think  
3 every press announcement that AT&T has ever issued from  
4 the dawn of local competition has had that sentence.

5 **BY MR. EDENFIELD:**

6 **Q Will you agree with me that where AT&T**  
7 **ultimately puts out its own facilities that the UNE-P is**  
8 **really a temporary solution?**

9 **A No, I don't. I don't believe that there is**  
10 **evidence yet to suggest at what point people can**  
11 **efficiently roll individual analog voice grade customers**  
12 **onto their own facilities. And that question implies**  
13 **probably a ten-hour discussion as to why there are**  
14 **problems trying to roll average everyday customers onto**  
15 **your own facilities even when those facilities are in**  
16 **place. And those problems confront every entrant in this**  
17 **industry and are certainly not unique to AT&T.**

18 **Q We are not going to go through the ten hours,**  
19 **are we?**

20 **A I don't intend to. But I did want to make sure**  
21 **you understood that your question was not only false, but**  
22 **extremely false.**

23 **Q Well, let's see. It's your position then if**  
24 **AT&T were to roll out a network basically identical to**  
25 **BellSouth's that it would still need the UNE-P to be able**

1 to compete?

2 A Well, in the non-ten hour version of it, let me  
3 try to explain it this way. Even carriers that have put  
4 in place switches and have a collocation find that as a  
5 practical matter for customers that are served off of  
6 copper loop facilities, the costs of migrating those,  
7 handcrafting those customers onto their switch frequently  
8 prevent you from serving those customers in that fashion.

9 And as a result, where you even have facilities  
10 in place, carriers frequently focus exclusively on  
11 customers that have high-speed digital services and above  
12 because in that market segment this problem of  
13 handcrafting service for the customer is manageable.

14 And all that says is that even today we know  
15 that the mere presence of facilities doesn't mean you can  
16 penetrate these smaller customers easily or effectively or  
17 economically. Now, when that problem will be solved, I  
18 don't know. When it will be solved for AT&T versus other  
19 carriers, I don't know. But it is a pervase problem that  
20 exists today – pervasive.

21 Q Will you agree with me that BellSouth in Florida  
22 alone probably has somewhere around three to four million  
23 customers that are currently being served by BellSouth  
24 through, I guess, a combination of elements in BellSouth's  
25 own network?

1           **A**     **Yes. And as soon as you start provisioning**  
2 **those elements to us in the same types of ways you**  
3 **provision them to yourself, we will be able to move more**  
4 **down market. But when you have to go out there and**  
5 **handcraft every single time you win a customer, you are**  
6 **not able to address that same customer group.**

7           **Q**     **You will agree that under the law to the extent**  
8 **the combination already exists in BellSouth's network,**  
9 **BellSouth can't tear it apart, we have to provide it to**  
10 **you as is?**

11          **A**     **That's true. And that gives people the**  
12 **opportunity to serve some customers. And the issue here**  
13 **is whether or not they should also have the ability to**  
14 **serve customers when they add a line, or they move into a**  
15 **new house, or move into a new building. Because if they**  
16 **don't have that ability, not only are they harmed in**  
17 **servicing those customers, they are harmed in servicing the**  
18 **broader base of customers because their target market is**  
19 **smaller and they can't continue to meet their customers'**  
20 **needs as they grow. And that hurts your ability.**

21           **Now, this is a very mobile society. Something**  
22 **like 20 percent of residential customers move each year.**  
23 **Something like 25 percent of business locations open and**  
24 **close in a year. The notion that you can serve things**  
25 **that are already existing but you can't accommodate change**

1 is a serious, serious impediment.

2 Q And of these three to four million combinations  
3 that exist in BellSouth's network where BellSouth is  
4 currently serving BellSouth customers, in the last five  
5 years how many of those combinations has AT&T come in an  
6 taken over from BellSouth?

7 A Well, first of all, you haven't offered to  
8 provide UNE combinations in any form until by your own  
9 admission, February of last year. In Florida, there are  
10 issues with respect to pricing, okay. Having the ability  
11 to get a UNE combination is necessary, but it is not  
12 sufficient.

13 In other states like Georgia, we see that once  
14 they became available we see a ramp up in competition.  
15 What AT&T is doing, I'm not really in a good position to  
16 talk about the interests of this particular carrier. But,  
17 again, I don't think that is important because this  
18 interconnection agreement you are arbitrating is going to  
19 be adopted by every Tom, Jane, and Harry carrier that  
20 shows up or quite a few of them.

21 And so when you decide this issue, you are  
22 deciding it not just for this company, but you are going  
23 to decide it for a bunch of other companies that are also  
24 waiting in the wings with the same need.

25 Q All right. If I understand what you are telling

1 me you are here being paid by AT&T to represent their  
2 position in an arbitration which will result in an  
3 interconnection agreement being put in place by this  
4 Commission between BellSouth and AT&T, and you sit here  
5 and say you don't know enough about AT&T to comment and  
6 it's really not important, is that your position?

7 A No. My comment was is I don't know the specific  
8 actions that this carrier has taken in this state with  
9 respect to network elements. But, again, even though I'm  
10 being paid for AT&T and it is actually beneficial for the  
11 remaining carriers in this industry to have AT&T here, the  
12 reality is this agreement is going to decide an issue that  
13 is important not just for AT&T, but for other people.

14 Now, while I believe that if you put in place  
15 this AT&T will take advantage of it, even if AT&T isn't  
16 the first mover on this, this is an issue that goes right  
17 to the heart of the competition. We know what entry  
18 strategy gets you competition for residential and small  
19 business customers, we know when it is available you get  
20 more than just a handful of carriers, you get a bunch of  
21 carriers. You get that competition. And a big part of it  
22 is this new combinations issue. And it is on that basis  
23 that I'm recommending the Commission give AT&T what it  
24 wants. Not because it's AT&T that wants it, but it's  
25 because competition needs it.

1           **Q**     **Okay. Just let me put a point on this, Mr.**  
2 **Gillan. Do you know as we sit here today, and I will give**  
3 **you the benefit of the doubt, since February of 19 -- was**  
4 **it 2000, February 1999, when did BellSouth say it would**  
5 **start offering combinations?**

6           **A**     **February of 2000 is when you say you started**  
7 **offering it.**

8           **Q**     **And since February of 2000, do you know how many**  
9 **combinations that currently existed in BellSouth's network**  
10 **where BellSouth was actually providing service to**  
11 **customers, do you know how many of those that AT&T has**  
12 **taken for itself to provide local service to that same**  
13 **customer?**

14          **A**     **No. The only numbers that I have visibility to**  
15 **are the numbers I have cited you for Georgia.**

16          **Q**     **Okay. All right. Let's take a look then and go**  
17 **back to this press release. I've got a couple more**  
18 **questions and then we will move off of it and close this**  
19 **thing down. If you are look in that same paragraph, one**  
20 **of the options that AT&T offered as a possible**  
21 **facilities-based medium, I guess, was broad band cable**  
22 **television, do you see that?**

23          **A**     **Yes.**

24          **Q**     **Do you know whether AT&T actually owns cable TV**  
25 **companies here in the State of Florida?**

1           **A     Yes, I'm aware they do.**

2           **Q     How many do they own?**

3           **A     That I'm not aware of.**

4           **Q     Do you know what level of market penetration**  
5 **that the cable companies owned by AT&T have as far as**  
6 **providing cable service to people or residents of the**  
7 **State of Florida?**

8           **A     No. But even if I did I would then point out it**  
9 **would be completely irrelevant to my testimony and my**  
10 **recommendations.**

11          **Q     Do you know whether AT&T is actually providing**  
12 **in the State of Florida any local telephony service to**  
13 **residents over broad band cable television technology?**

14          **A     I believe they are, but I'm not certain. I**  
15 **believe there is actually a witness here who is from that**  
16 **operating division of AT&T and you could direct your**  
17 **questions to him. But I would point out that even if AT&T**  
18 **was very successful doing that, and I think we are all**  
19 **aware that the jury is still out on that issue, it still**  
20 **only referred to two carriers. And my recommendations go**  
21 **to what is appropriate for trading competition more**  
22 **broadly.**

23          **Q     Take a look down, the fourth full paragraph that**  
24 **starts, "The local residential offer," do you see that?**  
25 **Do you see where I'm talking?**

1           **A     Yes.**

2           **Q     "The local residential offer will be available**  
3 **to all New Yorkers who are currently served by Bell**  
4 **Atlantic by months end." Do you still think it is a**  
5 **coincidence that AT&T came into the New York market**  
6 **offering service, making service available to New Yorkers**  
7 **who are currently served by Bell Atlantic in a time frame**  
8 **consistent with when Bell Atlantic was to get 271 relief,**  
9 **do you still think this is a coincidence?**

10          **A     Well, you know, if the FCC denied that**  
11 **application three weeks later, AT&T still would have been**  
12 **in the market. The fact of the matter is when you comply**  
13 **with the law, which I believe includes most emphatically**  
14 **UNE-P, 271 relief comes. UNE-P and 271, there is not**  
15 **generally that big a lag between the two if it is**  
16 **operating. The other carriers were entering the market,**  
17 **many of whom never even had long distance operations. So,**  
18 **I think it is absolutely true that UNE-P is the condition**  
19 **that gets entry in.**

20               **When it's working, it's likely to have 271. But**  
21 **if they went up there and yanked that application, yanked**  
22 **Bell Atlantic's authority tomorrow, you would still have**  
23 **carriers in that marketplace day in and day out competing**  
24 **for customers ordering UNE-P. And you see that. I mean,**  
25 **nobody believes that you are close to 271 in Georgia, and**

1 yet we see a ramp up of -- or at least nobody I know  
2 believes that you are close to 271 in Georgia, and yet the  
3 entry is occurring in Georgia.

4 Q You have got to believe. You have got to  
5 believe.

6 Will you agree with me that the Commission could  
7 look at the same set of facts you're talking about here  
8 with competition flourishing, with the introduction of the  
9 UNE-P in New York and Texas, and look at that same timing  
10 of the FCC allowing the incumbents there into the long  
11 distance market and reach a conclusion that says maybe the  
12 way to jump-start competition in the State of Florida is  
13 not by offering the UNE-P, but letting BellSouth into long  
14 distance, supporting BellSouth's bid to get into long  
15 distance? Wouldn't that jump-start it, at least according  
16 to what we are looking at here?

17 A No, it wouldn't. And I will try to remain  
18 polite about this, but that would be an absurd conclusion.  
19 If the Commission wants to know what local competition  
20 looks like when the ILEC is in the long distance and the  
21 tools for local competition are not in place, it need only  
22 look at Tampa.

23 If your theory were true, people would be  
24 banging down the door to provide local exchange service in  
25 Tampa because Verizon, which I can't get used to calling

1 them that yet, but GTE has been in the long distance  
2 business for four years. And yet I would say that Tampa  
3 lags the state in the development of local competition.  
4 Plus you wouldn't be able to explain the penetration in  
5 Georgia, you wouldn't be able to explain the entry in  
6 Michigan, you wouldn't be able to explain carriers  
7 petitioning to try and get this across the U.S. West  
8 region, you wouldn't be able to explain 99 percent of the  
9 competitive activity in this country.

10           The only thing that you have going for your  
11 alternative hypothesis is the fact that once UNE-P is  
12 available at some point 271 relief is granted. But I've  
13 got all of these other places where 271 relief isn't  
14 imminent and people are still trying to get this. And  
15 they have got places where the ILEC is already in the long  
16 distance business and local competition is in terrible  
17 shape.

18           Q     Are you familiar with recent pronouncements by  
19 AT&T's CEO and Chairman, Mr. Armstrong, that they are  
20 thinking about pulling out of the local markets in New  
21 York and Texas?

22           A     Yes, I saw that.

23           Q     Let's take just a real quick look at your JPG  
24 Exhibit 2 that is in your rebuttal testimony, I believe?

25           A     Yes.

1           **Q**     **And in this exhibit you have kind of made a**  
2 **grocery list of ALECs and their respective stock prices as**  
3 **of December 12th as compared to their 52 week high.**

4           **A**     **Yes.**

5           **Q**     **Will you agree that most of these stocks that**  
6 **you have listed here are traded on the NASDAQ?**

7           **A**     **Yes. I mean, that is where most CLECs stocks**  
8 **are listed.**

9           **Q**     **Will you agree with me that today the NASDAQ**  
10 **value is almost -- of course, I am painfully aware of it,**  
11 **and maybe everybody else in here is, too, that the NASDAQ**  
12 **is about half of what it was a year ago, year and a half**  
13 **ago.**

14          **A**     **Yes.**

15          **Q**     **You're not blaming BellSouth for the crash of**  
16 **NASDAQ, are you?**

17          **A**     **No. I'm not necessarily blaming BellSouth for**  
18 **crashing the CLECs. I'm just pointed out that there isn't**  
19 **tools out there, and this is not a success experiment yet.**  
20 **And that this is not the time to sit here and tell**  
21 **entrants that you can go in the market with one hand tied**  
22 **behind your back, serve existing customers, but not new**  
23 **customers. That doesn't make any sense to me. It isn't**  
24 **like they are doing too well.**

25          **Q**     **Mr. Gillan, are you aware that this Commission**

1 has already addressed the issue of UNE combinations on two  
2 prior occasions and is set to rule on it yet a third in  
3 the next week or so?

4 A I wasn't aware of all of those, but I'm aware of  
5 at least, I guess, two of those.

6 Q Well, let me educate you. Ms. White is going to  
7 hand out orders from this Commission, a pair of them.

8 MR. EDENFIELD: I'm sorry, Chairman Jacobs, did  
9 I mark the AT&T press release for identification?

10 CHAIRMAN JACOBS: No.

11 MR. EDENFIELD: Could I do that as BellSouth 12,  
12 I believe.

13 CHAIRMAN JACOBS: 11, I believe. I think it is  
14 11.

15 (Exhibit 11 marked for identification.)

16 MR. EDENFIELD: Oh, I'm sorry, 11. I'm sorry.  
17 And I will not mark these, as both of these are on the  
18 official recognition list, I believe.

19 BY MR. EDENFIELD:

20 Q What I have handed you, Mr. Gillan, are the  
21 August 2nd, 2000 order of this Commission in the  
22 Intermedia/BellSouth arbitration, and the January 14th,  
23 2000 decision in the ICG/Telecom arbitration.

24 Let's take a look at the Intermedia decision  
25 first. If you will turn to Page 23 of that decision, and

1 if you look down to basically the second full paragraph  
2 there that starts "As discussed above," take a second and  
3 read that paragraph, if you would.

4 A I'm sorry, could you identify the paragraph  
5 again.

6 Q Yes, sir, I'm sorry. It's on Page 23, it's the  
7 second full paragraph that says, "As discussed above, the  
8 appropriate definition."

9 A Yes.

10 Q Will you agree with me that when this Commission  
11 has considered this issue on August 22nd, of 2000, I  
12 guess, what, about five or six months ago, it has ruled  
13 that until the Eighth Circuit renders its decision where  
14 combinations are, in fact, already combined and existing  
15 within BellSouth's network, we find at a minimum that  
16 BellSouth shall be required to make those combinations  
17 available to requesting telecommunications carriers in  
18 that combined form at UNE rates?

19 A Okay. I mean, it says what it says.

20 Q Okay. Well, take a look at the ICG order.

21 A Well, excuse me. Are you going to ask me a  
22 question about this, or am I just going to get them into  
23 evidence?

24 Q Unfortunately, you don't get to ask the  
25 questions. That's my job.

1           **A     Okay.**

2           **Q     Take a look at the January 14th, 2000 order in**  
3 **the ICG/Telecom decision. And if you will take a look on**  
4 **Page 9, it is the paragraph above Roman numeral V, volume**  
5 **and terms discounts. It says, "ICG has not demonstrated,"**  
6 **do you see that paragraph?**

7           **A     All right.**

8           **Q     Page 9.**

9           **A     Page 9, before the volume and term discounts?**

10          **Q     Yes.**

11          **A     Okay.**

12          **Q     The paragraph starts, "ICG has not**  
13 **demonstrated." Read that second sentence there.**

14                   **Will you agree with me that on January 14th when**  
15 **the Commission considered this issue in the ICG**  
16 **arbitration, it ruled that the state of the law currently**  
17 **does not require an incumbent LEC to combine network**  
18 **elements for requesting telecommunications carriers. Will**  
19 **you agree that that is what this order says?**

20          **A     That's what this order says.**

21          **Q     Okay. Now, the Eighth Circuit has issued a**  
22 **decision on remand, and I think that was, what, sometime**  
23 **in July of 2000, called the Iowa Utilities II case. Do**  
24 **you know what I'm talking about? I don't know that you**  
25 **necessarily need to get it out, but --**

1           **A**    **Yes, but I might. If you will wait just one**  
2 **second.**

3           **Q**    **I guess we killed the tree, we might as well**  
4 **look at the paper.**

5           **A**    **Yes. What date were you looking at?**

6           **Q**    **I think it's the July 18th, 2000 order. And my**  
7 **question about it is just very general. But, again, if**  
8 **you feel like you need it, go ahead.**

9           **A**    **You would think it would have the ability of**  
10 **floating to the surface. Go ahead.**

11          **Q**    **If you need it, I have a copy. I will give it**  
12 **to you.**

13          **A**    **I might, but go ahead.**

14          **Q**    **The question I have is will you agree with me**  
15 **that when the Eighth Circuit considered this issue again**  
16 **about its vacation -- or vacating maybe I should say,**  
17 **Freudian slip -- of 315(c) through (f), that when it had a**  
18 **chance to talk about its having previously vacated those**  
19 **particular subsections of the rule, that it again**  
20 **confirmed that those should remain vacated?**

21          **A**    **Yes. But what I don't think it did is told us**  
22 **the question before us, which is what does 315(b) mean.**  
23 **Because as I read that decision, it consistently seemed to**  
24 **tee up (c) through (f) as combining elements that are new**  
25 **in terms of different and not ordinary. So I think the**

1 fundamental question is what does 315(b) mean is still  
2 before this Commission. And I don't actually think either  
3 of the orders you showed me gets to the heart of that.

4 But even if it was true that the Commission has  
5 reached these decisions, the purpose of my testimony is to  
6 tell you, you are making a mistake. A dreadful mistake  
7 that is going have impact on small business and  
8 residential consumers in this state. And that you would  
9 be much better served taking the path of all of these  
10 other states of making it easier for carriers to serve  
11 these customers.

12 MR. EDENFIELD: I have nothing further for you,  
13 Mr. Gillan. Thank you.

14 CHAIRMAN JACOBS: Staff.

15 MR. FORDHAM: Staff has no cross.

16 CHAIRMAN JACOBS: Commissioners. I have a brief  
17 question. In the case of -- first of all, going back to  
18 our decision in the Intermedia decision. We chose to look  
19 at this issue, and if I'm not mistaken said that where  
20 combinations had been set out then they should be provided  
21 at UNE rates. We did not give direction as to the  
22 instances that we have been talking about here, correct?

23 THE WITNESS: That is how I read it, as well.  
24 That on the issue we are talking about here the Commission  
25 basically said we are going to wait to see what the Eighth

1 Circuit did. And, again, on that issue I don't think that  
2 the Eighth Circuit really gave you any true guidance.

3 In fact, there is a -- on that question there is  
4 a proposal from the public staff in North Carolina that  
5 does, I think, a nice job of explaining that the Eighth  
6 Circuit focused again on (c) through (f), but did not look  
7 at the question of interpreting 315(b), and is  
8 recommending to that Commission that the Commission rule  
9 in favor of allowing entrants to get new combinations.

10 CHAIRMAN JACOBS: Let me go back for a moment to  
11 the line of questioning as to what is the impact of UNE-Ps  
12 with regard to effective competition. UNE-Ps essentially,  
13 and this was explained earlier, but could you refresh my  
14 memory. What is the essence of the strategic benefit of  
15 UNE-Ps?

16 THE WITNESS: What a UNE-P is, is that you lease  
17 from the local telephone company the loop and the local  
18 switch. And then because you are leasing capacity in that  
19 switch, you are able to complete your local calls out on  
20 the network. It gives you, in effect, the same geographic  
21 footprint that the local telephone company has. You can  
22 come into a market and say I will serve you, and I don't  
23 care where you live.

24 Now, of course, this new combinations issue puts  
25 a pretty significant caveat on that. But it has the

1 advantage of giving you a broad footprint. Now, that is  
2 important. Because if you are going to introduce services  
3 for average residential and business customers, you are  
4 going to attract them by running advertisements and try to  
5 offer a product that, you know, a customer that lives in a  
6 city knows, oh, this product is available in this city or  
7 in this area, I can sign up for it. So you need that kind  
8 of geographic footprint. UNE-P gives you that.

9           The second thing that UNE-P gives you is that it  
10 can be provisioned very quickly and relatively  
11 inexpensively in almost every instance. So your cost to  
12 have a customer decide, well, I'm going to leave Bell and  
13 I'm going to go to this other provider, you can do it  
14 without a high cost barrier.

15           **CHAIRMAN JACOBS:** And if you --

16           **THE WITNESS:** Those are two conditions you kind  
17 of need to serve average customers.

18           **CHAIRMAN JACOBS:** The alternative which would  
19 present the cost barrier would mean you would get the  
20 individual UNEs, and you would combine them and then you  
21 would have to --

22           **THE WITNESS:** Well, the alternative would be, in  
23 effect, if I have to go out and handcraft a service, like  
24 if I have my own switch in there, I have to have the loop  
25 disconnected off of BellSouth's facility, manually

1 reconnected, they have to port the number over to my  
2 switch.

3           And what the industry has found over this past  
4 five years is that if you have to go through that much  
5 manual activity to win a customer, you just can't do it at  
6 the level of a customer with a couple of regular copper  
7 lines.

8           Now, if the customer gets big enough in terms of  
9 he has digital service, then it is worth all of this  
10 activity to win them. And so that's why you see when you  
11 look at the way CLECs operate today, while many of them  
12 have tried to come down market and serve smaller  
13 customers, they generally end up at this environment where  
14 they sell digital services, voice with data, or something  
15 because they have got -- they are really limited to this  
16 part of the market that they can handcraft. And UNE-P  
17 doesn't have that disadvantage to it.

18           It is kind of -- it's actually really logical.  
19 Anything that gets done in a mass market way has to be  
20 made relatively simple to do. I mean, that is the nature  
21 of mass markets. Things that are very hard to do, to work  
22 out, to provision, to figure out, to bill become  
23 unsuitable for that type of an arrangement.

24           **CHAIRMAN JACOBS:** Now, this idea of currently  
25 combines is intriguing to me. And what I understand the

1 controversy to be is if the elements are known but they  
2 are not specific, even for that matter if they are known  
3 and they are existing in the ILEC's network at the moment,  
4 that is one fact. But in order for it to qualify under  
5 the interpretation in dispute here, in order for it to  
6 qualify to be combined it would have to not only be in the  
7 network but it would have to have been combined for the  
8 specific customer that is being transitioned.

9           **THE WITNESS:** Well, that is the nub of the  
10 issue. BellSouth would like it say not only does it have  
11 to be there, but it has to already be connected. And what  
12 we are seeking is the fact, wait a minute, if the customer  
13 chose you, I mean, these facilities come to a point at  
14 your network where you have already set up the procedures  
15 to cross-connect them as efficiently as possible. You  
16 ordinarily do that. Just because they aren't connected  
17 yet doesn't mean we should be denied them. And we would  
18 like you to combine them for us, yes.

19           **CHAIRMAN JACOBS:** That goes to my next question.  
20 Are you aware of what marginal efforts are necessary --  
21 let's say one -- I assume it will be the loop that would  
22 not be connected here. It would be the main thing that  
23 you would want to connect in. What are the marginal steps  
24 necessary or can you describe those?

25           **THE WITNESS:** Yes. The marginal -- actually,

1 since the issue isn't whether or not they would  
2 provision -- they would put the network, make the network  
3 elements available, we'll do a loop/port scenario. You  
4 have a loop coming to a distribution, a frame where it is  
5 connected, you have a port coming to a frame, but there is  
6 no jumper wire that could be a couple of inches or a  
7 couple of feet in length that connects that port to that  
8 line. Like at your house, all right? They will have  
9 ports already on this frame that are waiting for service,  
10 they will have loops that already go to your house. You  
11 want to add a second line, what needs to have happen is  
12 the guy in the central office has to take a little copper  
13 wire and connect this to that. That's all we are asking  
14 them to do.

15           What they are offering to do, and this is what  
16 makes this whole thing in my mind so absurd, is that  
17 rather than just connect those two wires, they will  
18 connect the loop wire to another wire and run it over  
19 there to the other side of the central office, and then  
20 they will connect the loop wire to something and then run  
21 it over there, and then have those connected to a frame,  
22 and then AT&T can come in and connect those two things way  
23 over there.

24           Well, I mean, just think about -- they are going  
25 to do all of this work to avoid just connecting them where

1 they would ordinarily do it. Anytime somebody does more  
2 work to avoid doing a little work you know they are either  
3 not very bright or they are acting anticompetitively. And  
4 this is a very smart company.

5 **CHAIRMAN JACOBS:** Let's go back to the idea that  
6 you can do the cross-connect in a fairly short distance.  
7 Is it your position, or is it the position of AT&T that  
8 you would not want to compensate for that effort, that  
9 connection effort?

10 **THE WITNESS:** No, I don't think that is true at  
11 all. There are nonrecurring charges to get this. If  
12 BellSouth believes that the nonrecurring charge that it  
13 has in place now that reflects those two items already  
14 being connected is insufficient, then it seems to me they  
15 are totally free to come back in here and say, all right,  
16 here is another rate element for this activity of putting  
17 this little jumper in here. It can't be that big, it  
18 should not be that big a deal, it should not be that big a  
19 cost.

20 **But what I'm worried about is they will use the**  
21 **excuse that they don't have a price yet for that to then**  
22 **say, okay, I will give you this, but you can't buy it**  
23 **until I have a price, in which case we walk out of the**  
24 **room and we still can't do anything.**

25 **So, I mean, I think it is important for the**

1 Commission to order them to do this, order them to do it  
2 at the existing rate, and then if they have a problem they  
3 can come back in and adjust that rate. Nobody is looking  
4 for a free lunch here. Everyone wants -- you know, we  
5 want this done as efficiently as possible.

6 CHAIRMAN JACOBS: Thank you. Commissioners, any  
7 other questions? Redirect.

8 MS. OCKLEBERRY: No, Commissioner.

9 CHAIRMAN JACOBS: Exhibits.

10 MR. EDENFIELD: Let's see, BellSouth would  
11 move --

12 CHAIRMAN JACOBS: 10 and 11?

13 MR. EDENFIELD: Yes, 10 and 11. I'm sorry, I  
14 was looking at the list and I had my eyes crossed.

15 CHAIRMAN JACOBS: All right. Without objection,  
16 show Exhibits 10 and 11 admitted.

17 MS. OCKLEBERRY: AT&T would also move, Mr.  
18 Chairman, Exhibit 9 into the record.

19 CHAIRMAN JACOBS: Without objection, show  
20 Exhibit 9 admitted. You are excused. Next witness.

21 Before we go to the next witness, we will take five  
22 minutes. Let's take ten minutes.

23 (Exhibits 9, 10 and 11 admitted into the  
24 record.)

25 MS. RULE: Mr. Chairman, I was going to ask that

1 we do that because we will need the AV equipment set up  
2 for Mr. Bradbury.

3 CHAIRMAN JACOBS: Okay. We will take a ten  
4 minute break.

5 MS. RULE: Thank you.

6 (Recess.)

7 CHAIRMAN JACOBS: We will go back on the record.  
8 Are you prepared to proceed?

9 MS. RULE: AT&T calls Jay Bradbury.

10 JAY M. BRADBURY

11 was called as a witness on behalf of AT&T COMMUNICATIONS OF  
12 THE SOUTHERN STATES, INC. AND TCG SOUTH FLORIDA, INC. and,  
13 having been duly sworn, testified as follows:

14 DIRECT EXAMINATION

15 BY MS. RULE:

16 Q Would you please state your name and address for  
17 the record?

18 A Jay Bradbury, 1200 Peachtree Street, Atlanta,  
19 Georgia.

20 Q By whom are you employed?

21 A AT&T Corporate.

22 Q Did you file direct testimony in this case?

23 A Yes, I did.

24 Q And did that testimony include 27 exhibits?

25 A It did.

1                   **MS. RULE: Mr. Chairman, in view of the number**  
2 **of exhibits, I would like to identify Mr. Bradbury's**  
3 **direct exhibits separately from his rebuttal exhibits, and**  
4 **I believe this would be Number 12.**

5                   **CHAIRMAN JACOBS: Very well.**

6                   **(Exhibit 12 marked for identification.)**

7 **BY MS. RULE:**

8           **Q     Did you also file rebuttal testimony?**

9           **A     Yes, ma'am.**

10          **Q     And did that testimony include 33 rebuttal**  
11 **exhibits?**

12          **A     Yes, it did.**

13               **MS. RULE: And, Mr. Chairman, I would like this**  
14 **one identify as Composite 13.**

15               **CHAIRMAN JACOBS: Show that exhibit identified**  
16 **as 13.**

17               **(Exhibit 13 marked for identification.)**

18 **BY MS. RULE:**

19          **Q     Do you have any changes or corrections to that**  
20 **testimony?**

21          **A     No, I do not.**

22          **Q     And if I asked you the questions in your direct**  
23 **and rebuttal today, would your answers be the same?**

24          **A     They would be.**

25               **MS. RULE: Mr. Chairman, I would ask that Mr.**

1 **Bradbury's direct and rebuttal testimony be admitted into**  
2 **the record as though read.**

3 **CHAIRMAN JACOBS: Without objection, show the**  
4 **direct and rebuttal entered into the record as though**  
5 **read.**

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**  
2                           **TESTIMONY OF JAY M. BRADBURY**  
3                                   **ON BEHALF OF**  
4           **AT&T COMMUNICATIONS OF THE SOUTHERN STATES, INC.**  
5                           **AND TCG SOUTH FLORIDA, INC.**  
6                                   **DOCKET NO. 000731-TP**  
7                                   **NOVEMBER 16, 2000**

8  
9   **Q.   PLEASE STATE YOUR NAME AND ADDRESS.**

10  A.   My name is Jay M. Bradbury. My business address is 1200  
11       Peachtree Street, Suite 8100, Atlanta, Georgia 30309.

12  
13  **Q.   PLEASE DESCRIBE YOUR CURRENT POSITION AND**  
14       **RESPONSIBILITIES.**

15  A.   I am a District Manager in the AT&T Law and Government Affairs  
16       organization, and I provide consulting support to AT&T's business  
17       units and other internal organizations. In particular, I am involved in  
18       the negotiation and implementation of interfaces for operational  
19       support systems ("OSS") necessary to support AT&T's entry into the  
20       local telecommunications market.

21  
22  **Q.   PLEASE DESCRIBE YOUR EDUCATIONAL BACKGROUND AND**  
23       **PROFESSIONAL EXPERIENCE.**

1    **A.**    I graduated with a Bachelor of Arts degree in History from The Citadel  
2            in 1966. I have taken additional undergraduate and graduate courses  
3            at the University of South Carolina and Georgia State University in  
4            Business and Economics. In 1987 and 1988, I participated in  
5            Advanced Management Programs at Rutgers University and the  
6            University of Houston. I earned a Masters Certificate in Project  
7            Management from Stevens Institute of Technology in 2000.  
8            I began my AT&T career in 1970 as a Chief Operator with Southern  
9            Bell's Operator Services Department in Raleigh, North Carolina. From  
10           1972 through 1987, I held various positions within Southern Bell's  
11           (1972 - 1984) and AT&T's (1984 - 1987) Operator Services  
12           Departments where I was responsible for the planning, engineering,  
13           implementation and administration of personnel, processes and  
14           network equipment used to provide local and toll operator services  
15           and directory assistance services in North Carolina, South Carolina,  
16           Kentucky, Tennessee and Mississippi.  
17           In 1987, I transferred to AT&T's External Affairs Department in  
18           Atlanta, Georgia where I was responsible for managing AT&T's needs  
19           for access network interfaces with South Central Bell, including the  
20           resolution of operational performance, financial and policy issues.  
21           From 1989 through November 1992, I was responsible for AT&T's  
22           relationships (including the negotiation and administration of billing  
23           and marketing contracts, card honoring contracts, facility contracts,

1 and the support of sales of Network Systems products) with  
2 Independent Telephone Companies within the South Central Bell  
3 States and Florida. From November 1992 through April 1993, I was a  
4 Regulatory Affairs Manager in the Law and Government Affairs  
5 Division and was responsible for the analysis of industry proposals  
6 before regulatory bodies in the South Central States to determine their  
7 impact on AT&T's ability to meet its customers' needs with services  
8 that are competitively priced and profitable.

9 In April of 1993, I transferred to the Access Management Organization  
10 within AT&T's Network Services Division as a Manager - Access  
11 Provisioning and Maintenance with responsibilities for on-going  
12 management of processes and structures in place with Southwestern  
13 Bell to assure that their access provisioning and maintenance  
14 performance met the needs of AT&T's Strategic Business Units. In  
15 August 1995, I became responsible for the negotiation and  
16 implementation of interfaces for operational support systems (OSS)  
17 necessary to support AT&T's entry into the local telecommunications  
18 market in the BellSouth states. I assumed my current position in June  
19 1998.

20

21 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

22 **A.** My testimony explains and supports AT&T's requests for the following  
23 services from BellSouth:

- 1 a) A two-part procedure for ordering Operator  
2 Services/Directory Assistance ("OS/DA") in conjunction with  
3 loop-port combinations as a UNE (Issue 25);  
4  
5 b) That the BellSouth OS/DA service ordered by AT&T be  
6 provided as a UNE at UNE rather than market based prices.  
7 (Issue 23);  
8  
9 c) A robust Change Control Process (Issue 30);  
10  
11 d) Specific improvements to BellSouth's pre-ordering and  
12 ordering interfaces (Issue 31); and  
13  
14 e) Specific improvements to BellSouth's maintenance and  
15 repair interfaces (Issue 32).

16  
17 My testimony demonstrates that the OSS interfaces, processes and  
18 functions currently offered by BellSouth do not comply with the  
19 Telecommunications Act of 1996, Pub. L. No. 104-104, 110 Stat. 56  
20 (1996) (hereinafter the "1996 Act") and its implementing regulations,  
21 and explains AT&T's need for and entitlement to the services  
22 requested from BellSouth.  
23

1 **Q. PLEASE DESCRIBE FURTHER THE ISSUES THAT YOUR**  
2 **TESTIMONY WILL COVER.**

3 **A.** In Issue 25, AT&T requests a specific two-part procedure for ordering  
4 Operator Services/Directory Assistance (“OS/DA”) in conjunction with  
5 loop-port combinations (the Unbundled Network Element Platform or  
6 UNE-P). AT&T has requested a process by which it would place a  
7 combination of two orders. First, AT&T would place an Infrastructure  
8 Provisioning Order (or “footprint order”) that would identify a specific  
9 geographic area (such as end office, rate center, LATA or state) and  
10 also would specify the network elements that AT&T would require in  
11 order to offer service throughout that area. Among other things, the  
12 Infrastructure Order would include AT&T’s selection of OS/DA routing  
13 for loop-port and resale service customers calls to either (1)  
14 BellSouth’s OS/DA systems on a branded or unbranded basis, or to  
15 (2) another system of AT&T’s choosing. Thereafter, AT&T would  
16 place Customer-Specific Provisioning Orders, which would identify the  
17 particular features required by a specific new customer. These  
18 customer-specific orders should receive electronic processing without  
19 subsequent manual handling by BellSouth personnel. I shall refer to  
20 this issue as the Footprint-OS/DA Issue.

21

22 In Issue 23, AT&T requests that BellSouth OS/DA (either AT&T  
23 branded or unbranded) ordered by AT&T using the process described

1 in Issue 25 be provided as a UNE at UNE rates. In its UNE Remand  
2 Order, the FCC clearly requires customized routing as a pre-condition  
3 to allowing BellSouth not to offer OS/DA as a UNE. BellSouth does  
4 not provide customized routing through a commercially viable, timely,  
5 repeatable process and thus is required to offer and charge for OS/DA  
6 as a UNE, rather than at market based rates. I shall refer to this issue  
7 as the OS/DA Price Issue.

8  
9 In Issue 30, AT&T requests a comprehensive Change Control  
10 Process, which BellSouth has failed to provide to date. Without a  
11 comprehensive process that is both well documented and followed by  
12 BellSouth once established, to handle changes that BellSouth makes  
13 to its interfaces and processes, and to their supporting documentation  
14 (such as specifications, business rules, methods and procedures),  
15 AT&T cannot make corresponding changes in its own interfaces and  
16 processes, and its customers repeatedly encounter delay and  
17 frustration. I shall refer to this issue as the Change Control Process  
18 Issue.

19  
20 In Issue 31, AT&T requests a number of OSS improvements that have  
21 been at issue between the companies for some time. Although  
22 repeatedly requested by AT&T, BellSouth has yet to provide AT&T  
23 with the OSS functionality it provides to itself that supports the quality

1 of service enjoyed by BellSouth's retail customers. I shall refer to this  
2 issue as the Equivalent Functionality Issue.

3

4 In Issue 32, AT&T requests a full function, machine-to-machine,  
5 integrateable Maintenance and Repair interface. Such an interface is  
6 technically feasible and has been an issue between the companies  
7 and before this Commission and the FCC for a number of years. I  
8 shall refer to this issue as the Maintenance and Repair Access Issue.

9

10

## BACKGROUND

11

### OPERATIONS SUPPORT SYSTEMS OBLIGATIONS UNDER THE ACT

12

13 **Q. WHAT ARE OPERATIONS SUPPORT SYSTEMS ("OSS")?**

14 **A.** Operations support systems are the computer-based systems,  
15 information, databases and personnel that telecommunications  
16 carriers use to perform essential customer and business support  
17 functions, including pre-ordering, ordering, provisioning, maintenance  
18 and repair, and billing. Computer-based OSS enable  
19 telecommunications carriers to transmit data electronically between  
20 different systems, thereby maximizing efficiency and effectiveness in  
21 the performance of these essential support functions. In addition to  
22 computer-based systems, information and databases, OSS also  
23 includes any necessary manual processes performed by personnel

1 located in various types of “centers” when computer-based processes  
2 have not been provided or are not available. In short, good computer-  
3 based processes are not enough – BellSouth also is obligated to  
4 provide, on a nondiscriminatory basis, the manual processes involved  
5 in operating essential support functions.

6

7 **Q. WHY DOES YOUR TESTIMONY DISCUSS BELLSOUTH’S**  
8 **MANUAL PROCESSES AND MANUAL WORK CENTERS? ARE**  
9 **NOT ALL OF BELLSOUTH’S OSS COMPUTER-BASED**  
10 **PROCESSES?**

11 **A.** No, not all of BellSouth’s OSS are computer-based systems. The  
12 word “system” is synonymous with neither computers nor electronic  
13 interfaces. BellSouth’s work centers and the manual procedures  
14 used by service representatives also are “systems.” Although  
15 BellSouth has an obligation to develop, implement and deploy  
16 electronic interfaces for all OSS functionalities equal to those it uses  
17 itself, it has not yet happened and may not happen for some  
18 considerable time. Moreover, BellSouth must provide  
19 nondiscriminatory operations support processes for pre-ordering,  
20 ordering, provisioning, maintenance and repair, and billing, regardless  
21 of whether or not electronic interfaces have been implemented. As  
22 long as BellSouth uses manual processes as well as computer-based

1 processes for these functions, this Commission should ensure all such  
2 processes are provided to competitors on a nondiscriminatory basis.

3

4 **Q. HAS THE FEDERAL COMMUNICATIONS COMMISSION ("FCC")**  
5 **ADDRESSED ACCESS TO OSS UNDER THE ACT?**

6 **A.** Yes. The FCC "conclude[d] that OSS and the information they  
7 contain fall squarely within the definition of 'network element' and must  
8 be unbundled upon request under section 251(c)(3) . . . ." First Report  
9 and Order, Implementation of the Local Competition Provisions of the  
10 Telecommunications Act of 1996, 11 FCC Rcd. 15499 at ¶ 516  
11 (1996), aff'd in part and vacated in part by Iowa Utils. Bd. v. FCC, 120  
12 F.3d 753 (8th Cir. 1997), aff'd in part and rev'd in part by AT&T Corp.  
13 v. Iowa Utils. Bd., 119 S. Ct. 721 (1999), hereinafter "FCC Local  
14 Competition Order". The FCC reiterated this important requirement in  
15 various proceedings conducted pursuant to Section 271 of the Act:  
16 Memorandum Opinion and Order, Application of BellSouth Corp., et  
17 al. Pursuant to Section 271 to Provide In-Region, InterLATA Services  
18 in South Carolina, 13 FCC Rcd. 539 (1997), hereinafter "FCC South  
19 Carolina Order" and Memorandum Opinion and Order, Application of  
20 BellSouth Corporation, et al. for Provision of In-Region, InterLATA  
21 Services in Louisiana, 13 FCC Rcd. 20599 (1998), hereinafter "FCC  
22 Louisiana II Order".

23

1 In addition, the FCC concluded that OSS functions are subject to the  
2 duty imposed by Section 251(c)(3) on incumbent local exchange  
3 carriers ("LEC") to provide nondiscriminatory access to network  
4 elements, and the duty imposed by Section 251(c)(4) to provide resale  
5 services under just, reasonable, and nondiscriminatory conditions.  
6 FCC Local Competition Order ¶ 517; FCC South Carolina Order ¶ 83;  
7 and FCC Louisiana II Order ¶ 84. The FCC recognized that a  
8 "competing carrier that lacks access to operations support systems  
9 equivalent to those the incumbent LEC provides to itself, its affiliates,  
10 or its customers, 'will be severely disadvantaged, if not precluded  
11 altogether, from fairly competing.'" FCC South Carolina Order ¶ 82;  
12 see also FCC Local Competition Order ¶ 518; FCC Louisiana II Order  
13 ¶ 80. The FCC reiterated these principles in its recent reviews of the  
14 Bell Atlantic and Southwestern Bell applications to enter the interLATA  
15 long distance market. Memorandum Opinion and Order, Application  
16 by Bell Atlantic New York for Authorization Under Section 271 of the  
17 Communications Act To Provide In-Region, InterLATA Service in the  
18 State of New York, CC Dkt. No. 99-295, FCC 99-404 at ¶ 83, 1999  
19 WL 1243135 (rel. Dec. 22, 1999), hereinafter "FCC BA-NY Order";  
20 Memorandum Opinion and Order, Application by SBC  
21 Communications, Inc., Southwestern Bell Telephone Company, and  
22 Southwestern Bell Communications Services, Inc., d/b/a

1            Southwestern Bell Long Distance, CC Dkt. 00-65, FCC 00-238 at  
2            ¶ 92, hereinafter "FCC Texas SWBT Order".

3

4    **Q.    HAS THE FCC EXPLAINED WHAT CONSTITUTES**  
5    **NONDISCRIMINATORY ACCESS?**

6    **A.**    Yes. In its Interconnection Order, the FCC found that  
7            nondiscriminatory access "necessarily includes access to the  
8            functionality of any internal gateway systems the incumbent employs  
9            in performing [pre-ordering, ordering, provisioning, maintenance and  
10            repair, and billing] functions for its own customers." FCC Local  
11            Competition Order ¶ 523 (emphasis added). The FCC defined  
12            "internal gateway system" as "any electronic interface the incumbent  
13            LEC has created for its own use in accessing support systems for  
14            providing pre-ordering, ordering, provisioning, repair and  
15            maintenance, and billing." FCC Local Competition Order ¶ 523, n.  
16            1274. Examples of internal gateway systems that BellSouth uses in  
17            Florida are the Regional Negotiation System ("RNS"), the Regional  
18            Ordering System ("ROS"), and the Trouble Analysis Facilitation  
19            Interface ("TAFI"). Accordingly, BellSouth must provide AT&T with  
20            nondiscriminatory access to the functionalities of RNS, ROS, TAFI,  
21            and other internal gateway systems.

22

1           The FCC discussed in greater detail the incumbent LEC's obligation to  
2           provide nondiscriminatory access to OSS functions in its various  
3           orders on Section 271 applications from BellSouth and other Regional  
4           Bell Operating Companies ("RBOCs"). The FCC explained that  
5           incumbent LECs must provide access to OSS functions that  
6           sufficiently support each of the three modes of competitive entry  
7           strategies established by the Act (interconnection, unbundled network  
8           elements, and services offered for resale) and must not favor one  
9           strategy over another. Memorandum Opinion and Order, Application  
10          of Ameritech Michigan Pursuant to Section 271 to Provide In-Region,  
11          InterLATA Services in Michigan, 12 FCC Rcd. 20543 at ¶ 133 (1997),  
12          (hereinafter "FCC Ameritech Order").

13  
14          The FCC found that "[f]or those OSS functions that are analogous to  
15          OSS functions that an incumbent LEC provides to itself -- including  
16          pre-ordering, ordering and provisioning for resale services -- a BOC  
17          must offer access to competing carriers equivalent to the access the  
18          BOC provides itself." FCC South Carolina Order ¶ 98; see also FCC  
19          Ameritech Order ¶ 139. The FCC also found that "access to OSS  
20          functions must be offered such that competing carriers are able to  
21          perform OSS functions in 'substantially the same time and manner' as  
22          the BOC." FCC South Carolina Order ¶ 98; see also FCC Louisiana II  
23          Order ¶ 87.

1 In addition, the FCC found that "for those OSS functions that have no  
2 retail analogue, such as ordering and provisioning of unbundled  
3 network elements, a BOC must offer access sufficient to allow an  
4 efficient competitor a meaningful opportunity to compete." FCC South  
5 Carolina Order ¶ 98; see also FCC Ameritech Order ¶ 141; FCC  
6 Louisiana II Order ¶ 87; FCC BA-NY Order ¶ 83, and FCC Texas  
7 SWBT Order ¶ 95.

8  
9 The FCC also found "that excessive reliance on manual processing,  
10 especially for routine transactions, impedes the BOC's ability to  
11 provide equivalent access." FCC Louisiana II Order ¶ 110. Manual  
12 processing by BellSouth results in delay and increased error in the  
13 fulfillment of customer's orders which negatively impacts AT&T's  
14 ability to compete with BellSouth in providing service to its customers  
15 in substantially the same time and manner as BellSouth.

16  
17 AT&T is particularly concerned about the high number of orders  
18 placed electronically that "fall out" of the electronic processing system  
19 as a result of BellSouth's design decisions not to provide complete  
20 electronic processing for all elements and services purchased by  
21 alternative local exchange companies ("ALECs") and the failure of  
22 BellSouth's systems to properly process transactions for which they  
23 have been designed. Orders for which electronic processing has not

1           been provided or that “fall out” of BellSouth’s systems due to system  
2           failure are processed manually by individual employees in one of  
3           BellSouth’s two Local Carrier Service Centers (“LCSCs”). Individual  
4           employees tend to interpret BellSouth’s business rules subjectively,  
5           which results in varying treatment of similar orders. For example,  
6           some orders will be rejected, while similar orders will not, based  
7           simply on the subjective decision of a BellSouth employee. Orders  
8           that electronically flow through BellSouth’s ordering system, on the  
9           other hand, are treated the same way and are rejected or processed  
10          on a consistent basis. Thus, a high “fall out” rate (and conversely, a  
11          low flow-through rate) results in a greater number of problem orders.  
12          Additionally, the FCC has recognized that low order flow-through can  
13          “indicate a wide range of possible deficiencies in a BOC’s OSS that  
14          may deny an efficient competitor a meaningful opportunity to compete  
15          in the local market.” FCC BA-NY Order ¶ 162.

16

17       **Q.    WHAT ARE THE CHARACTERISTICS OF AN INTERFACE THAT**  
18       **PROVIDES NONDISCRIMINATORY ACCESS TO AN INCUMBENT**  
19       **LEC’S OSS?**

20       **A.**    For an interface to satisfy the Act’s nondiscrimination requirements,  
21           the FCC consistently has indicated that the interface must  
22           demonstrate, at a minimum, the characteristics described below.  
23           Additionally, appropriate operational data and performance

1 measurements are necessary to determine whether the proposed  
2 OSS interfaces meet these five characteristics. See FCC Ameritech  
3 Order ¶¶ 138, 141-42, 204-213; FCC BA-NY Order ¶ 89. An  
4 interface with the following characteristics of nondiscrimination will  
5 minimize differences in OSS functional capabilities between the  
6 incumbent LEC and the ALEC:

7

8 **Electronic** -- The interface must be a machine-to-machine  
9 interface (computer application program to computer  
10 application program) that provides fully electronic interaction  
11 between the incumbent LEC's OSS and the ALEC's OSS. FCC  
12 South Carolina Order ¶¶ 152-66. A machine-to-machine  
13 interface decreases the time, reduces the cost, and improves  
14 the accuracy of an ALEC's performance of OSS functions (FCC  
15 Louisiana II Order ¶ 96, n. 291), while failure to deploy an  
16 application-to-application interface denies competing carriers  
17 equivalent access to pre-ordering OSS functions. FCC South  
18 Carolina Order ¶ 166; FCC BA-NY Order ¶ 137.

19

20 **Functionality** -- The interface must provide all ALECs with the  
21 capability to perform the same OSS functions with at least the  
22 same level of quality, efficiency, and effectiveness that the  
23 incumbent provides to itself. FCC Local Competition Order ¶

1 523; FCC South Carolina Order ¶ 98; FCC Ameritech Order ¶  
2 139; and FCC Louisiana II Order ¶ 87. For those functions that  
3 do not have a retail analogue, the incumbent LEC must offer  
4 access to such OSS functions sufficient to allow an efficient  
5 competitor a meaningful opportunity to compete. FCC South  
6 Carolina Order ¶ 98; FCC Louisiana II Order ¶ 87; FCC BA-NY  
7 Order ¶ 129 and FCC Texas SWBT Order ¶ 148

8  
9 **Documented** -- The interface must be documented accurately,  
10 adequately and sufficiently in advance to allow ALECs a  
11 reasonable opportunity to develop and deploy their own  
12 necessary systems, work processes, and employee training to  
13 use the interface. FCC South Carolina Order ¶ 111; FCC  
14 Ameritech Order ¶ ¶ 137, 215; FCC Louisiana II Order ¶ 85;  
15 FCC BA-NY Order ¶ 88; and FCC Texas SWBT Order ¶ 97.  
16 Properly documented interfaces will facilitate completion of  
17 those necessary tasks in a manner that provides ALECs a  
18 meaningful opportunity to compete.

19  
20 **Capacity** -- The interface must have the capacity to meet  
21 combined market volumes of all ALECs with response times  
22 that are equivalent to those the incumbent LEC provides itself.  
23 FCC Ameritech Order ¶ ¶ 137, 194; FCC Louisiana II Order

1 ¶¶ 139-40; FCC BA-NY Order ¶ 88; and FCC Texas SWBT  
2 Order ¶ 97. Sufficient capacity will ensure that OSS interfaces  
3 do not become a bottleneck that impedes an ALEC's ability to  
4 compete.

5

6 **Standards** -- The interface must comply with existing  
7 telecommunications industry standards or ease the transition to  
8 evolving standards regarding:

- 9 • What is to be communicated (message protocol  
10 component);
- 11 • Specific information to be communicated (data  
12 elements); and
- 13 • language and rules for communication  
14 (communication protocols).

15 Although the use of industry standards can meet the needs of a  
16 competitive local exchange market, FCC Ameritech Order ¶  
17 217; FCC BA-NY Order ¶ 88, lack of industry standards does  
18 not excuse an incumbent LEC from meeting its obligation to  
19 provide nondiscriminatory access to OSS functions. FCC  
20 South Carolina Order ¶ 121, n. 362. Similarly, deploying an  
21 interface that merely adheres to industry standards is not  
22 sufficient to demonstrate nondiscriminatory access. A BOC  
23 must provide nondiscriminatory access to its OSS functions

1                   irrespective of the existence of, or whether it complies with,  
2                   industry standards. FCC Louisiana II Order ¶ 137.

3

4

#### ISSUE 25 THE FOOTPRINT-OS/DA ISSUE

5

6   **Q.    SHOULD THERE BE A SET PROCESS BY WHICH AT&T CAN**  
7           **OBTAIN FROM BELL SOUTH BOTH THE COMMON**  
8           **(INFRASTRUCTURE) AND CUSTOMER-SPECIFIC UNES THAT**  
9           **COMPRISE OS/DA ROUTING IN ASSOCIATION WITH THE UNE**  
10          **PLATFORM?**

11   **A.**    Yes. In Issue 25, AT&T requests a specific two-part procedure for  
12           ordering loop-port combinations (the Unbundled Network Element  
13           Platform or UNE-P)<sup>1</sup>, including the associated Operator  
14           Services/Directory Assistance routing. AT&T has requested a process  
15           by which it would place a combination of two orders. First, AT&T may  
16           establish routing of calls to a specific Operator Services / Directory  
17           Assistance (“OS/DA”) service or provider on a “footprint” basis which  
18           may be as small as a single central office, or as large as an entire  
19           state. Thereafter, AT&T would place Customer-Specific Provisioning

---

<sup>1</sup> The Unbundled Network Element Platform consists of the combination of a UNE loop that provides connectivity between a customer’s location and a BellSouth central office and a UNE port that provides access to the switching functionality available in that central office, including local, long distance and ancillary calling. The UNE-P purchaser takes on additional business relationships with other ALECs, Independent Companies, Inter-exchange Carriers, BellSouth, and other vendors including the associated financial risks. These relationships and risks are not associated with resale of BellSouth’s local services.

1 Orders, which would identify the particular features required by a  
2 specific new customer.

3

4 The Local Service Request (“LSR”) would act as the Customer-  
5 Specific Provisioning Order. AT&T should be able to electronically  
6 submit LSRs for UNE-P, and the orders should electronically flow  
7 through BellSouth’s systems and be provisioned at parity with  
8 BellSouth retail. As discussed below, electronic LSRs with flow-  
9 through ordering should be available for orders that request either an  
10 unbranded or an AT&T-branded platform.

11

12 **Q. PLEASE DESCRIBE THE OPTIONS FOR ROUTING OS/DA CALLS.**

13 A. When an AT&T customer picks up the telephone and dials “0” for  
14 operator service or “411” for directory assistance, the call will be  
15 directed to the OS/DA platform chosen by AT&T. The call could be  
16 routed in one of four possible ways:<sup>2</sup>

- 17 ● BellSouth’s OS/DA platform, to be branded as BellSouth’s  
18 service (“Welcome to BellSouth”). AT&T will not use this option  
19 as a long term solution.
- 20 ● BellSouth’s platform to be branded as the ALEC’s service  
21 (“Welcome to AT&T”);

---

<sup>2</sup> Exhibit JMB-1 visually depicts how these alternatives are provided using the three offered technologies – Line Class Codes, Originating Line Number Screening and Advanced Intelligent Network.

- 1           • BellSouth's platform but not branded at all ("May I help  
2           you?");
- 3           • or it could be sent to AT&T's or another provider's OS/DA  
4           platform.

5           AT&T is entitled to select the routing for its customers' OS/DA calls,  
6           and may decide to have more than one routing option within Florida.

7

8   **Q.   HOW DOES AT&T PROPOSE TO ACCOMPLISH ITS DESIRED**  
9   **ROUTING?**

10   **A.**   There are two steps necessary to accomplish AT&T's desired routing.  
11       These steps are illustrated in Exhibit JMB-2. First, BellSouth and  
12       AT&T must agree upon a process for ordering the trunking and  
13       translations that support customized routing. Next, AT&T must inform  
14       BellSouth which routing option it has chosen to use for a specific new  
15       customer. Unfortunately, both of these steps are the subject of  
16       dispute between the parties. I will discuss each step separately.

17

18   **Q.   PLEASE DESCRIBE THE FIRST STEP FOR OBTAINING AT&T'S**  
19   **DESIRED CUSTOMIZED ROUTING.**

20   **A.**   As stated above, the first step in obtaining AT&T's desired customized  
21       OS/DA routing is for BellSouth and AT&T to agree upon a process for  
22       ordering customized routing. AT&T has requested a two-part ordering  
23       process. First, AT&T would submit to BellSouth a "footprint" order

1 (also known as a network design request, or “NDR”) that would  
2 identify the trunking and routing required to direct customers’ OS/DA  
3 calls to the platform or platforms chosen by AT&T for the footprint  
4 area. In Florida, for example, AT&T might place a footprint order for  
5 two OS/DA routing options in the major metropolitan end offices (one  
6 routing to BellSouth’s platform, branded as AT&T, and another to  
7 AT&T’s own platform), and a separate footprint order for the other end  
8 offices in the state, specifying only one routing option (to BellSouth’s  
9 platform, branded as AT&T).

10

11 Later, when AT&T ordered service for a specific new customer, it  
12 would do so by electronically submitting a Local Service Request  
13 (“LSR”), which should, in turn, be electronically processed by  
14 BellSouth. If AT&T’s footprint order had specified more than one  
15 OS/DA routing option for the area in which service was to be provided,  
16 AT&T’s LSR would indicate which of the two routing options to use for  
17 that customer. No such indicator would be necessary if AT&T had  
18 requested only one routing option for the area. In the above example,  
19 then, an AT&T LSR for a new customer outside a major metropolitan  
20 area would include no indicator, because the single routing  
21 information already would have been provided to BellSouth. AT&T  
22 LSR for a new customer in a major metropolitan area, on the other  
23 hand, would indicate which of the two previously-identified routing

1 options to use for that specific customer. This would allow AT&T the  
2 ability, for example, to route OS/DA calls from metropolitan residential  
3 customers to BellSouth's platform branded as AT&T, and calls from  
4 metropolitan business customers to AT&T's platform.

5

6 **Q. YOU MENTIONED THAT THIS STEP WAS THE SUBJECT OF**  
7 **DISPUTE. PLEASE DESCRIBE THE DISPUTE AND AT&T'S**  
8 **POSITION.**

9 **A.** There are two areas of disagreement related to this step of the  
10 process. First, despite repeated requests by AT&T, BellSouth has  
11 failed to provide detailed technical information on the process  
12 BellSouth would require in order to implement each of the three  
13 OS/DA routing strategies that AT&T may use. In the past, BellSouth  
14 has stated its willingness to provide the information to AT&T, but has  
15 not produced detailed technical methods and procedures sufficient to  
16 inform AT&T of requirements for ordering customized routing.<sup>3</sup>  
17 Without this information, AT&T cannot develop the internal systems  
18 and processes it will need to submit orders to BellSouth. AT&T asks  
19 this Commission to order BellSouth to provide such documentation by  
20 a date certain.

21

---

<sup>3</sup> As indicated by the FCC in paragraph 223 of its Second Louisiana Order, AT&T has been attempting to get this information for over two years.

1 Recently a BellSouth witness stated that BellSouth had provided  
2 AT&T with all the necessary information in an E-mail transmittal sent  
3 on October 26, 2000. Unfortunately, that witness had been  
4 misinformed. The only information provided was proposed contract  
5 language that still provides none of the requested technical or  
6 methods and procedures documentation. Exhibit JMB-3.

7  
8 Next, BellSouth wishes to limit AT&T to only one customized OS/DA  
9 route, apparently for the entire nine-state region. There simply is no  
10 justification for doing so in the Telecommunications Act or in FCC  
11 orders. The FCC has determined that incumbent LECs, including  
12 BellSouth, are required to provide customized routing as part of the  
13 switching function, unless they can prove that customized routing in a  
14 particular switch is not technically feasible. FCC Local Competition  
15 First Report and Order, 11 FCC Rcd at 15709. At no time during  
16 negotiations has BellSouth indicated that customized routing was not  
17 technically feasible in any of its switches.

18  
19 Further, the FCC has not limited BellSouth's obligation to provide  
20 OS/DA routing on a "one per ALEC" basis. Although BellSouth claims  
21 that certain language in paragraph 224 of the FCC's Second  
22 Louisiana Order implies that ALECs would have one routing plan on a  
23 region-wide basis, an examination of that paragraph reveals exactly

1 the opposite: The FCC anticipated that ALECs may have more than  
2 one OS/DA routing option, and instructed BellSouth to simplify its  
3 ordering processes accordingly:

4 We agree with BellSouth that a competitive LEC  
5 must tell BellSouth how to route its customers'  
6 calls. If a competitive LEC wants all of its  
7 customers' calls routed in the same way, it should  
8 be able to inform BellSouth, and BellSouth should  
9 be able to build the corresponding routing  
10 instructions into its systems just as BellSouth has  
11 done for its own customers. (Footnote 705) If,  
12 however, a competitive LEC has more than one  
13 set of routing instructions for its customers, it  
14 seems reasonable and necessary for BellSouth to  
15 require the competitive LEC to include in its order  
16 an indicator that will inform BellSouth which  
17 selective routing pattern to use. (Footnote 706)  
18 BellSouth should not require the competitive LEC  
19 to provide the actual line class codes, which may  
20 differ from switch to switch, if BellSouth is capable  
21 of accepting a single code region-wide. (FCC  
22 Second Louisiana Order at ¶ 224, emphasis  
23 added.)

1           The footnotes are equally instructive: Footnote 705 discusses the  
2           possibility that AT&T might want all its customers' calls routed in a  
3           single fashion:

4                     For example, if AT&T wants all of its customers'  
5                     calls routed to AT&T's operator services and  
6                     directory assistance, AT&T should be able to tell  
7                     this to BellSouth once, by letter for instance, and  
8                     BellSouth should be able to route the calls without  
9                     requiring AT&T to indicate this information on  
10                    every order.

11

12           Footnote 706, on the other hand, discusses the possibility that AT&T  
13           may desire more than one OS/DA routing option:

14                    For example, if AT&T wants some of its operator  
15                    services and directory assistance calls routed to  
16                    its operator services and directory assistance  
17                    platform, but it wants other operator service and  
18                    directory assistance calls directed to BellSouth's  
19                    platform, BellSouth does not know whether to  
20                    route AT&T's customers' calls to AT&T's platform  
21                    or its own unless AT&T tells BellSouth which  
22                    option it is choosing.

23

1 BellSouth theorizes that this paragraph (224) implies that AT&T is  
2 limited to one "default" OS/DA routing option. The FCC's plain  
3 language reveals that BellSouth is wrong.

4 BellSouth has the ability to direct its own customers' OS/DA calls to  
5 different platforms, if it so desired. AT&T is entitled to access this  
6 ability and to direct its customers' calls in any way that is technically  
7 feasible.

8

9 **Q. YOU STATED THAT THE NEXT STEP IN THE PROCESS WAS**  
10 **FOR AT&T TO INFORM BELLSOUTH WHICH ROUTING OPTION IT**  
11 **HAS CHOSEN TO USE FOR A SPECIFIC NEW CUSTOMER ONCE**  
12 **BELLSOUTH HAS IMPLEMENTED ALL THE AT&T REQUESTED**  
13 **ROUTING OPTIONS. PLEASE DESCRIBE THE DISPUTE**  
14 **RELATED TO THIS ISSUE.**

15 **A.** AT&T and BellSouth disagree about the method by which AT&T will  
16 identify the OS/DA routing option it has selected for individual  
17 customers. I will therefore describe the method by which AT&T plans  
18 to identify its desired OS/DA routing option for each customer, and  
19 demonstrate that this method is consistent with (and contemplated by)  
20 the FCC in its Second Louisiana Order. I also will explain that the  
21 process urged by BellSouth violates FCC guidelines and effectively  
22 would limit AT&T to only one OS/DA routing option.

23

1 **Q. PLEASE DESCRIBE AT&T'S DESIRED ORDERING METHOD.**

2 A. As I explained above, AT&T will first place a footprint order specifying  
3 its desired OS/DA routing options within a geographic area. Later, it  
4 will submit customer-specific LSRs. If the footprint order specified  
5 only one OS/DA routing within the geographic footprint (for example,  
6 sending all OS/DA calls to BellSouth's unbranded OS/DA platform),  
7 AT&T will have provided BellSouth with routing instructions for all  
8 LSRs submitted within that footprint, so there is no need for AT&T to  
9 place additional information on the customer-specific LSR to reiterate  
10 the OS/DA routing. This is in keeping with the FCC's reasoning in its  
11 Second Louisiana Order at footnote 705:

12 If AT&T wants all of its customers' calls routed to  
13 AT&T's operator services and directory  
14 assistance, AT&T should be able to tell this to  
15 BellSouth once, by letter for instance, and  
16 BellSouth should be able to route the calls without  
17 requiring AT&T to indicate this information on  
18 every order.

19

20 AT&T's footprint order/ customer-specific order process is designed to  
21 comply with this guidance.

22

1 If, on the other hand, if AT&T places a footprint order that specifies  
2 two possible OS/DA routing options, then AT&T's LSR must inform  
3 BellSouth which of the two options to use for each specific customer.  
4 AT&T wishes to do so by placing an indicator on the LSR, which could  
5 be accomplished by simply completing the existing feature field in the  
6 LSR with (for example) "UB/BLS" for BellSouth unbranded, "CB/BLS"  
7 for BellSouth branded as AT&T or "C/AOSR" for another provider's  
8 platform. The indicator for each option should be the same region-  
9 wide. Again, this is consistent with the FCC's Second Louisiana Order  
10 at ¶224, footnote omitted:

11 If, however, a competitive LEC has more than one  
12 set of routing instructions for its customers, it  
13 seems reasonable and necessary for BellSouth to  
14 require the competitive LEC to include in its order  
15 an indicator that will inform BellSouth which  
16 selective routing pattern to use. BellSouth should  
17 not require the competitive LEC to provide the  
18 actual line class codes, which may differ from  
19 switch to switch, if BellSouth is capable of  
20 accepting a single code region-wide.

21

1 **Q. IS BELLSOUTH CAPABLE OF ACCEPTING A SINGLE REGION-**  
2 **WIDE CODE FOR EACH OF THE OS/DA ROUTING OPTIONS**  
3 **REQUESTED BY AT&T?**

4 **A.** Yes, BellSouth is quite capable of accepting a single region-wide  
5 code, or indicator, for each of the three OS/DA routings that may be  
6 requested by AT&T, and has never attempted to demonstrate that it is  
7 not. In order to do so, BellSouth simply would have to build  
8 translations tables for line class codes, as it has done already for its  
9 own use.

10  
11 **Q. PLEASE EXPLAIN.**

12 **A.** Line class codes ("LCCs") and routing instructions are applied at the  
13 central office level and are contained within each office's software  
14 data tables. Exhibit JMB-1, page 1, depicts the use of LCCs to  
15 implement customized OS/DA routing for ALECs. The actual codes  
16 and data tables, however, are not uniform between central offices.<sup>4</sup>  
17 Thus, the line class codes for ordering (for example) customized  
18 OS/DA routing to BellSouth's unbranded platform may vary among  
19 central offices, even though they provide the same instructions to the  
20 switch. Only in recent years have the RBOCs, including BellSouth,  
21 established methods and procedures to improve the administration

---

<sup>4</sup> Part of the problem associated with LCCs and their administration is the fact that prior to the Act there was no need to administer LCCs in a manner that would allow them to be used in a competitive market. Thus, there was no need to create a system of uniform LCCs, and it was not done.

1 and commonality of LCCs. BellSouth solves this problem for itself  
2 with a database known as the Line Class Code Assignment Module  
3 (“LCCAM”). LCCAM determines, from the information on the retail  
4 service request, and the identification of the central office that will be  
5 used to serve the customer’s line, the proper LCC to put on the  
6 service order.

7  
8 The FCC was fully aware that LCC identifiers may be unique to central  
9 offices, and decided that requiring ALECs to enter each individual  
10 code on their orders would be an unreasonable burden. FCC Second  
11 Louisiana Order ¶ 224. The FCC set forth two alternatives by which  
12 competitors may order customized OS/DA routing. If a competitive  
13 provider wants all of its OS/DA calls routed in the same fashion, it may  
14 inform BellSouth once, perhaps by letter, without the need to indicate  
15 this information on each customer’s order. If, on the other hand, the  
16 provider wants more than one set of routing instructions for its  
17 customers, the ALEC should provide “an indicator” on each  
18 customer’s order that tells BellSouth which routing pattern to use for  
19 that customer. FCC Second Louisiana Order ¶ 224. As stated  
20 above, the FCC directed BellSouth to accept a single code across its  
21 region for each set of routing instructions desired by an ALEC.

22

1 The processes and procedures requested by AT&T are logical,  
2 technically possible, and in accord with FCC orders. BellSouth  
3 misreads the FCC's guidance in an attempt to force a single "dictated"  
4 OS/DA routing method on AT&T rather than provide the required  
5 customized routing. The Commission should not be misled by  
6 BellSouth's abuse of the FCC's guidance, but should instead order  
7 BellSouth to provide the information, methods and procedures AT&T  
8 needs to determine and eventually order the customized OS/DA  
9 routing it desires, using the two-part process I have described.<sup>5</sup>

10

11 **Q. HAS THE FCC REQUIRED BELLSOUTH TO PROCESS OS/DA**  
12 **ROUTING ORDERS ELECTRONICALLY?**

13 **A.** No. Although the FCC has not required BellSouth to abandon manual  
14 processing of customized routing orders, it noted that BellSouth would  
15 have the burden of showing that it processed such orders in an  
16 efficient and nondiscriminatory manner:

17 [W]e expect BellSouth to demonstrate that, if it  
18 requires specific information for selective routing  
19 that results in manual intervention in the  
20 processing of such orders, BellSouth will be able  
21 to process such orders in a timely manner and in

---

<sup>5</sup> The Commission should note that BellSouth's position on this issue predates the FCC's LAll Order. Thus, despite the FCC's guidance, which was offered in response to these very policies, BellSouth continues to insist that ALECs follow an outmoded and duplicative set of practices designed to limit their OS/DA ordering options.

1 volumes reflecting reasonably foreseeable  
2 demand. Of course, the easiest way for  
3 BellSouth to make this demonstration is to ensure  
4 that orders that include selective routing  
5 information do not require manual intervention.

6 FCC Louisiana II Order ¶ 225. BellSouth did not attempt to make  
7 such a showing in either the Georgia or North Carolina arbitration  
8 proceedings.

9

10 **Q. IS ELECTRONIC ORDERING FOR CUSTOMER SPECIFIC LSRS**  
11 **REQUESTING OS/DA ROUTING AVAILABLE FROM**  
12 **BELLSOUTH'S OSS?**

13 **A.** No. By its own admission, BellSouth provides no processes for  
14 electronic ordering of customer specific OS/DA today, and has made  
15 no commitment as to when such processes might be available, if ever.

16

17 BellSouth's recent decision to stop development of this functionality is  
18 particularly troubling. After over two years of having its requests for  
19 electronic flow through OS/DA ordering ignored, AT&T placed a formal  
20 change request with BellSouth for the capability in February 2000.

21 BellSouth accepted the request, committed resources to the project  
22 and announced to the ALEC community that the capability for

1 electronic ordering of one custom routing option (to BellSouth's  
2 platform unbranded) would be provided in Software Release 8 on  
3 November 18, 2000. BellSouth repeatedly reaffirmed this schedule in  
4 industry meetings up to and including a meeting on September 29,  
5 2000.

6  
7 On October 11, 2000, BellSouth made the unilateral decision to  
8 remove this change from the Release. BellSouth informed the ALEC  
9 community the next day during a Requirements Review Meeting. The  
10 minutes from that meeting (Exhibit JMB-4) include the following:

11 BST CCP advised that the OS/DA change  
12 request would be handled outside of Release 8.0.  
13 A new database called Originating Line Number  
14 Screening (OLNS) is being finalized that will  
15 provide this service in a more efficient manner. A  
16 meeting to discuss OLNS with interested CLECs  
17 is being coordinated for Monday, October 16,  
18 2000. CCP also advised that the Methods and  
19 Procedures for OLNS are still under development.

20  
21 There were two OLNS meetings held on October 16<sup>th</sup>, I have included  
22 the minutes from both as Exhibit JMB-5. Neither meeting provided  
23 significantly more detailed information. OLNS is useful only if an

1 ALEC elects to have one option for BellSouth provided OS/DA for all  
2 of its customers in all nine BellSouth states. OLNS cannot be used to  
3 route OS/DA calls to any platform except BellSouth's. (Exhibit JMB-1,  
4 page 2, depicts an OLNS arrangement.) An ALEC subscribing to  
5 OLNS may send all of its customers to either BellSouth ALEC branded  
6 service, or BellSouth unbranded service but not some to ALEC  
7 branded and others to unbranded. There are no available technical  
8 specifications or methods and procedures and not committed  
9 implementation data. And as Mr. Keith Milner (BellSouth) testified  
10 here in the MCI Arbitration there is no electronic ordering capability  
11 available. (Transcript Docket 00649-TP, Volume 9, October 6, 2000,  
12 page 1330).

13  
14 OLNS does not meet BellSouth's obligation to provide customized  
15 OS/DA routing.

16  
17 **Q. HAS THERE BEEN ANY CHANGE IN BELL SOUTH'S DECISION?**

18 A. No. During the recent Georgia Arbitration hearing, BellSouth's  
19 witness Mr. Keith Milner claimed that this communication removing  
20 electronic ordering of OS/DA from Release 8 was incorrect, and that  
21 he personally had issued a memo directing that the decision be  
22 reversed and that ALECs be so informed immediately. Exhibit JMB-6.

1           Despite Mr. Milner's claims, BellSouth has issued no retraction or  
2           rescheduling regarding the inclusion of OS/DA ordering in Release 8.<sup>6</sup>  
3  
4           BellSouth filed a Late Filed Exhibit with the Georgia PSC on Monday,  
5           November 13, 2000, which included the memo to which Mr. Milner  
6           referred, as well as the earlier "mistaken" memo. The memo issued  
7           as a "mistake" was sent to ALECs on October 11, announcing that the  
8           ability to electronically order routing to OS/DA had been removed from  
9           Release 8.0. The October 12 memorandum confirmed, rather than  
10          contradicted, the first memo, saying, "We are only removing the  
11          Change Request for mechanizing the ordering process from Release  
12          8." Later, BellSouth reiterated its decision to remove OS/DA ordering  
13          from Release 8 during the October 25, 2000, CCP Monthly Status  
14          Meeting. I have provided BellSouth's Georgia Late Filed Exhibit and  
15          the Minutes of the October 25<sup>th</sup> Monthly Status Meeting as Exhibit  
16          JMB-7. BellSouth's announcement at the meeting and my objection to  
17          it are noted on page 9 of the minutes, and the action item resulting  
18          from my request to seek reinstatement of this feature is found on page  
19          18.  
20

---

<sup>6</sup> In the Georgia arbitration hearing, Mr. Milner also claimed that BellSouth had provided AT&T with the information it had requested regarding detailed technical methods and procedures for ordering customized routing. This is also incorrect. As stated in my testimony above, AT&T has yet to receive footprint ordering instructions from AT&T.

1           Although BellSouth's Georgia Late-Filed Exhibit states that electronic  
2           ordering now will be included in Release 8, that is not the case.  
3           BellSouth approached AT&T on Friday November 10, 2000, with a  
4           specification that, if implemented, might provide a highly restricted  
5           capability for AT&T to submit some types of orders for OS/DA  
6           electronically during the course of a "friendly test" of UNE-P. In a  
7           teleconference held on Monday November 13, BellSouth confirmed  
8           that the capability would be limited specifically to the friendly test  
9           orders. No real AT&T customer orders can be placed, no other ALEC  
10          will have any capability, only certain order types would be allowed,  
11          and only routing to BellSouth's platform as unbranded would be  
12          allowed. Thus, BellSouth plans to provide only a very limited trial  
13          version of the production functionality that was cancelled.

14

15   **Q.    WHAT DOES AT&T REQUEST THE COMMISSION TO ORDER**  
16   **REGARDING THIS ISSUE?**

17   A.    AT&T asks the Commission to order BellSouth to provide AT&T with  
18          specific documented methods and procedures for each of the  
19          customized routing methods it purports to offer: unbranded at  
20          BellSouth's platform, AT&T branded at BellSouth's platform, and  
21          routed to a non-BellSouth platform. The Commission also should  
22          require BellSouth to provide AT&T with an ordering capability that will  
23          allow AT&T to place individual customer orders electronically, with

1 flow through of such orders, and without the need to place line class  
2 codes or other indicators on the orders when only one arrangement  
3 exists in a given footprint area. AT&T is entitled to customized  
4 routing, and the methods it has requested are reasonable, technically  
5 feasible, and anticipated by the FCC.

6

7 **CUSTOMIZED ROUTING & OPERATOR SERVICES/DIRECTORY**

8

**ASSISTANCE – ISSUE 23**

9 **Q. DID THE FCC ADDRESS THE ISSUE OF CUSTOMIZED ROUTING**  
10 **IN ITS ORIGINAL LOCAL COMPETITION ORDER?**

11 **A.** Yes. In its Local Competition Order, the FCC required that “[a]n  
12 incumbent LEC must provide customized routing as part of the local  
13 switching element, unless it can prove to the state commission that  
14 customized routing in a particular switch is not technically feasible.”  
15 (Local Competition Order at 15709.)

16

17 **Q. DID THE FCC ADDRESS THIS ISSUE IN ITS UNE REMAND**  
18 **ORDER?**

19 **A.** Yes, in connection with its decision concerning Operator Services and  
20 Directory Assistance (“OS/DA”), the FCC determined that incumbent  
21 LECs remain obligated under the non-discrimination provisions of  
22 47 U.S.C. § 251(c)(3) to comply with reasonable requests from ALECs  
23 who purchase OS/DA to rebrand or unbrand those services, and to

1 provide directory assistance listing updates in daily electronic batch  
2 files. However, the FCC determined that incumbent LECs are not  
3 required to unbundle their OS/DA pursuant to 47 U.S.C. § 251(c)(3),  
4 ***provided that*** the incumbent LEC provides customized routing to  
5 ALECs to allow them to route traffic to ***alternate*** OS/DA providers.  
6 Thus, the FCC now requires BellSouth to provide customized routing  
7 as a pre-condition to allowing BellSouth not to offer OS/DA as a UNE.  
8 From a practical standpoint, the customized routing architecture  
9 proposed by BellSouth must be fully implementable and available in  
10 every end office where technically feasible. It must be capable of  
11 supporting the request of any ALEC and be implementable on a  
12 central office basis in a very short period of time. It must be fully  
13 tested and clearly demonstrate that the implementation results in  
14 service equal to what BellSouth provides itself. It must be capable of  
15 supporting both branded and unbranded messaging.

16

17 **Q. WHY ARE OS/DA AND CUSTOMIZED ROUTING CRITICAL TO**  
18 **AT&T?**

19 **A.** Local operator and directory assistance services are integral  
20 components of any significant local service offering. Any ALEC must  
21 ensure that its customers can obtain the local OS/DA services that  
22 they have come to expect from the incumbent. Similarly, ALECs must  
23 have access at cost-based rates to the incumbent LECs' emergency

1 and directory assistance listings, including timely and efficient updates  
2 of those listings, in order to provide the quality of service local  
3 customers expect.

4

5 **Q. HAS BELLSOUTH PROVIDED A TIMELY CUSTOMIZED ROUTING**  
6 **SOLUTION AS REQUIRED BY THE FCC, AND THE OTHER**  
7 **STATES WHERE BELLSOUTH OPERATES SO AS TO AVOID ITS**  
8 **OBLIGATION TO PROVIDE OS/DA AS UNES?**

9 **A.** No. BellSouth has proposed line class code solution and an intelligent  
10 network ("AIN") solution for customized routing. The proposed AIN  
11 solution has been promised by BellSouth for several years. To date,  
12 BellSouth has not delivered on its promise. While AT&T did engage in  
13 a limited AIN test in 1997 with BellSouth, BellSouth has provided no  
14 information to indicate whether the proposed AIN solution it plans to  
15 implement later this year is the same or is different than that which  
16 was tested several years ago. (Exhibit JMB-1, page 3, depicts the  
17 AIN arrangement.)

18 In January 1998, BellSouth and AT&T jointly performed a technical  
19 test of an AIN solution during which both parties were present at a  
20 BellSouth facility. That trial identified call setup problems that  
21 increased post-dial delay to approximately one second for operator  
22 service calls and two seconds for directory assistance calls. This  
23 means that an ALEC customer whose calls are routed to that ALEC's

1 OS/DA platform will experience a post-dial delay that will not be  
2 experienced by BellSouth customers. Some of this delay is  
3 attributable to BellSouth's decision to direct all of the calls to  
4 BellSouth's AIN tandem. The selective routing capability could be  
5 provided by the end office AIN. In addition, because AT&T will pay  
6 usage-based rates for originating calls through unbundling switching,  
7 modest increases in seconds of originating usage could, over time and  
8 thousands of calls, add up to significant costs that AT&T, but not  
9 BellSouth, will incur. To date, no ALEC operating in BellSouth's states  
10 has purchased AIN.

11

12 **Q. WHAT ARE SOME INEFFICIENCIES OF THE AIN SOLUTION?**

13 **A.** AIN was developed to enable enhanced line-based features such as  
14 selective call forwarding and multi-distinct rings, etc. It was not  
15 intended to support normal call routing and does not work well for high  
16 volume-based calling. AIN bypasses the intelligence of the switch and  
17 requires every single call to query the database for routing  
18 instructions. In addition, if the database is down or is slow in  
19 responding, the call will fail or be delayed. BellSouth has not clearly  
20 demonstrated that its proposed AIN solution is equal to what it  
21 provides itself.

22 **Q. WHAT OTHER SOLUTION HAS BELLSOUTH PROPOSED FOR**  
23 **CUSTOMIZED ROUTING?**

1   **A.**    BellSouth has also proposed the use of line class codes to route  
2           OS/DA traffic to a third party platform.

3

4   **Q.**    **HAS BELLSOUTH DEMONSTRATED THAT THIS PROPOSAL**  
5           **MEETS THE NECESSARY REQUIREMENTS IN ORDER FOR**  
6           **BELLSOUTH TO NO LONGER OFFER OS/DA AS AN**  
7           **UNBUNDLED NETWORK ELEMENT?**

8   **A.**    No. While line class codes have been used to perform customized  
9           routing, BellSouth has not yet provided sufficient information such as  
10          ordering instructions and supporting documentation to AT&T for each  
11          of the customized routing options that BellSouth must provide. AT&T  
12          and BellSouth performed limited testing of this solution in 1997.  
13          However, several key issues still remain outstanding and were  
14          discussed above in issue 25. Use of LCC technology to route OS/DA  
15          calls to third party platforms is not currently available through a  
16          commercially viable, timely and repeatable process.

17

18   **Q.**    **DOES THE ORIGINATING LINE NUMBER SCREENING OPTION**  
19          **PROVIDE A CAPABILITY TO ROUTE AN ALEC'S OS/DA CALLS**  
20          **TO THE THIRD PARTY PLATFORM?**

21   **A.**    No. As discussed above, OLNS can only be used to route calls to  
22          BellSouth's OS/DA platform. The OLNS option does not provide a  
23          basis for BellSouth to claim that it has met its customized routing

1 obligations and therefore charge market based rates for its OS/DA  
2 service.

3

4 **Q. HAS BELLSOUTH PROVIDED REASONABLE SUPPORT TO AT&T**  
5 **TO PROVIDE CUSTOMIZED ROUTING?**

6 **A.** No. BellSouth's policy and proposed contract language precludes  
7 AT&T from obtaining customized routing that is efficient and  
8 economical. BellSouth limits AT&T and other ALECs to selecting a  
9 single "customized" routing for all of its customers across all nine  
10 states. Even if an ALEC agrees to a single option, BellSouth has not  
11 provided the information necessary to order that option across multiple  
12 central offices, or to order that option for an individual customer. Such  
13 a one size fits all approach precludes an ALEC from tailoring its  
14 selection of customized routing to take advantage of different (more  
15 efficient, less costly) trunking options that might be available to it in  
16 different local exchange areas, LATAs and states.

17

18 While BellSouth indicates that it will allow an ALEC to have more than  
19 one option, it apparently considers that to be something beyond its  
20 obligations under the Act – which is clearly is not – and once again  
21 has provided no instructions, methods, procedures or ordering  
22 capabilities. AT&T must be able to route OS/DA calls to any specified,  
23 existing trunking arrangements. BellSouth must be able to route

1 OS/DA calls using existing tandem architecture. BellSouth has not  
2 demonstrated that they can provide these capabilities. AT&T, as well  
3 as other ALECs, are entitled under the Act to flexible routing  
4 arrangements that will meet their current and future needs.

5

6 **Q. WHAT ACTION DOES AT&T REQUEST THE COMMISSION TAKE**  
7 **ON THIS ISSUE?**

8 **A.** BellSouth has not yet demonstrated that it has in place a customized  
9 routing solution that complies with all the requirements of the FCC and  
10 which allows AT&T to access OS/DA at parity with the access  
11 BellSouth has to its own OS/DA. Until BellSouth does so, the  
12 Commission should require BellSouth to continue to provide BellSouth  
13 provided OS/DA as unbundled network elements at unbundled  
14 network element prices.

15

16

### ISSUE 30

17

### THE CHANGE CONTROL PROCESS ISSUE

18

19 **Q. WHAT IS A CHANGE CONTROL PROCESS?**

20 **A.** A change control process (also known as a “change management  
21 process”) is a process used to manage changes to a system, process,  
22 or documentation so that they are made in an orderly and predictable  
23 fashion. In the recent FCC BA-NY Order at ¶ 103 and in a September

1 27, 1999, letter to US West (Exhibit JMB-8) and hereinafter referred to  
2 as the "US West Letter"), the FCC describes the phrase "change  
3 management process" as referring to the methods and procedures  
4 that the BOC employs to communicate with competing carriers  
5 regarding the performance of and changes in the BOC's OSS system  
6 that affect ALECs' production or test environments.

7

8 **Q. WHY IS THIS ISSUE IMPORTANT TO AT&T?**

9 **A.** Just as BellSouth requires time to make necessary modifications to its  
10 systems and processes, AT&T and other ALECs need sufficient  
11 advance notice of such modifications to allow them to make  
12 responsive changes in their own systems and thereby continue to  
13 provide service to their customers. All too often, ALECs receive little or  
14 no notice of upcoming changes. In fact, AT&T has learned of some  
15 system or process changes only when previously-acceptable orders  
16 were rejected or improperly provisioned. Similarly, ALECs request  
17 changes to BellSouth's systems and processes and need an orderly  
18 and predictable method by which such change requests will be  
19 handled. Thus, the quality of BellSouth's Change Control Process  
20 directly affects AT&T's ability to offer competitive service to its  
21 customers.

22

1 An extremely graphic illustration of problems resulting from  
2 inadequate change control processes occurred early this year in New  
3 York when Bell Atlantic – New York (“BA-NY”) implemented changes  
4 to its ECXpert software, which lies at the heart of its OSS system for  
5 provisioning UNE orders. These software changes were not properly  
6 managed through a robust change control process. Shortly  
7 thereafter, ALECs began reporting that BA-NY systems were losing  
8 ALEC service orders in increasingly large numbers. Despite extensive  
9 (and expensive) work-arounds, ALECs simply could not compensate  
10 for this massive problem, and tens of thousands of customers’ orders  
11 were lost or delayed, including 40,000 AT&T orders.

12

13 On February 24, 2000, BA-NY finally announced that it could not  
14 correct the software problems in ECXpert, that the software was  
15 “inherently unstable and unscalable”, and that the software would be  
16 abandoned. BA-NY proposed to replace ECXpert with a new and also  
17 untested system that was developed internally by Bell Atlantic to be  
18 introduced only four days later, on February 28<sup>th</sup>. Bell Atlantic  
19 explained that haste was required because continued use of ECXpert  
20 made it impossible for Bell Atlantic to satisfy industry standards in  
21 provisioning UNE orders. BA-NY further explained that it would be  
22 replacing ECXpert first in connection with LSOG 2 and then with

1 LSOG 4, and that ECXpert would be abandoned throughout the entire  
2 Bell Atlantic operating territory

3 These problems could have been prevented by a change control  
4 process such as that being requested by AT&T. At the very least,  
5 existence of an appropriate testing environment, go/no go decision  
6 point involving ALECs, and a versioning process would have mitigated  
7 this disaster.

8

9 **Q. PLEASE DESCRIBE TYPES OF CHANGES THAT SHOULD BE**  
10 **MANAGED VIA A CHANGE CONTROL PROCESS.**

11 **A.** Every change to a BOC's OSS, supporting process, or documentation  
12 that requires responsive changes in ALEC systems or processes  
13 should be managed via an orderly and predictable change control  
14 process. Such changes include:

- 15 1) operations changes to existing functionality that impact the  
16 ALEC interface(s) when a BOC releases new interface  
17 software;
- 18 2) technology changes that require ALECs to meet new technical  
19 requirements when a BOC issues a software release;
- 20 3) additional functionality changes that may be used at the  
21 ALEC's option, when a BOC releases a new interface software;
- 22 4) changes that may be mandated by regulatory bodies; and
- 23 5) changes to correct defects and emergency situations.

1 In all such cases, supporting processes and documentation must be  
2 included and ALECs must have sufficient advance notice of BOC  
3 system changes to allow them to make responsive changes to their  
4 own systems.

5

6 **Q. HAS THE FCC GIVEN BOCS AND ALECS ANY GUIDANCE ON**  
7 **THE MINIMUM ATTRIBUTES OF A SATISFACTORY CHANGE**  
8 **CONTROL PROCESS?**

9 **A.** Yes. In both the FCC BA-NY Order and the US West Letter, the FCC  
10 describes additional characteristics of a satisfactory change  
11 management process, including:

- 12 • ALEC participation;
- 13 • Procedures documentation;
- 14 • Prioritization and stratification of changes;
- 15 • Schedules for notifications;
- 16 • A testing environment and minimum 30 day test window for  
17 new releases;
- 18 • A go/no go decision process to preclude premature  
19 implementation by the BOC;
- 20 • Versioning of releases (maintaining the old version of an  
21 interface along with the new);
- 22 • Memorialization of the process, including a means by which the  
23 process can be modified;

- 1       •     Dispute resolution process for ALECs, specific to change
- 2             management disputes;
- 3       •     Followed consistently over time; and
- 4       •     Subject to regulatory oversight (which includes enforcement).

5

6       From the FCC's descriptions, it is clear that the entire range of  
7       transactions required between AT&T and BellSouth in order for AT&T  
8       to utilize BellSouth's network services and elements should be  
9       managed via an orderly and predictable change control process. Both  
10       electronic and manual interfaces and processes are required to  
11       establish and maintain a business relationship with BellSouth and  
12       conduct day-to-day business transactions and all such processes  
13       should be managed by an orderly and predictable change control  
14       process. Exhibit JMB-9 visually depicts a comprehensive change  
15       control process.

16

17       A comprehensive change control process should provide "cradle to  
18       grave" coverage of the life cycle of an interface or process, as well as  
19       its supporting documentation (such as specifications, business rules,  
20       methods, and procedures). Thus, the change control process should  
21       control implementation of new interfaces, management of interfaces in  
22       production (including defect correction), and the retirement of  
23       interfaces. A robust change control process should provide a process

1 for making normal changes, an exception process, an escalation  
2 process, and a dispute resolution process, with ultimate recourse to  
3 the state commission, mediation, or court adjudication. Additionally, a  
4 process should be specified which could change the Change Control  
5 Process itself.

6

7 **Q. DOES BELL SOUTH HAVE A CHANGE CONTROL PROCESS?**

8 **A.** Yes, but the process is inadequate and BellSouth frequently fails to  
9 follow it. The charter for the development of a change control  
10 process grew out of ALEC complaints to the Georgia Public Service  
11 Commission ("PSC") regarding inaccuracies and omissions in the  
12 information available to them concerning interfaces that existed in late  
13 1997. Thereafter, BellSouth and several ALECs, including AT&T,  
14 signed the Electronic Interface Change Control Process ("EICCP")  
15 document ("the change control document") in April 1998. The change  
16 control document, which was produced only as a result of regulatory  
17 "prodding" of BellSouth by the Georgia PSC, and useful at the time,  
18 was extremely limited in scope and was insufficient to meet the  
19 current and future needs of ALECs or the requirements of the FCC.  
20 For example, it encompassed only BellSouth's existing interfaces and  
21 did not apply to new interfaces until they were deployed. Thus,  
22 BellSouth was free to introduce new interfaces without appropriate  
23 notice to and input from the ALECs that would use those interfaces.

1 In February 2000, BellSouth began developing an Interim Change  
2 Control Process (“I-CCP”) in response to certain findings by KPMG in  
3 the Georgia Third Party OSS Test. The I-CCP was an evolving work  
4 in progress, and BellSouth replaced the EICCP procedures with I-CCP  
5 procedures in near real-time and often without the full concurrence of  
6 the ALECs participating in the process. While the I-CCP attempted to  
7 address the shortcomings of the EICCP, its final form and BellSouth’s  
8 future adherence to its requirements are speculative.

9  
10 The designation of the I-CCP document and process as “interim” was  
11 removed following a controversial vote taken in August 2000, despite  
12 the fact that a key section regarding defects and expedites was still  
13 only in draft form and that there was no consensus agreement  
14 regarding the contents of the remainder of the document.<sup>7</sup> BellSouth  
15 published Version 2.0 of the Change Control Process Document on  
16 August 23, 2000, and it remains the current version today.

17  
18 Through their participation in the process, AT&T and BellSouth have  
19 reached agreement on many elements of change control. However,  
20 the CCP in its current form is still deficient in many areas, as will be

---

<sup>7</sup> BellSouth issued an agenda for a Change Control conference call that included a “discussion” of the Interim Change Control Process, among other things. After the discussion, however, and at the end of the lengthy conference call, BellSouth called for a vote on whether to accept the interim process as permanent. Because there had been no notice that a vote would be taken, several participants had dropped off the call by this point, and still others were without authority to vote on behalf of their company. Despite these irregularities, however, BellSouth has refused to allow a re-vote.

1 discussed below. Version 2.0 of the CCP, dated August 23, 2000,  
2 and marked up on October 27, 2000, is attached as Exhibit JMB-10 to  
3 show changes proposed by AT&T (and in which other ALECs have  
4 concurred.) AT&T has submitted a formal Change Request to  
5 BellSouth, requesting adoption of the changes shown in Exhibit JMB-  
6 10.<sup>8</sup>

7

8 **Q. DOES BELLSOUTH'S VERSION 2.0 CHANGE CONTROL**  
9 **PROCESS ("CCP") COMPLY WITH THE FCC'S GUIDANCE?**

10 **A.** No. The CCP fails to cover all areas that should be included in a  
11 robust Change Control Process. Specifically, the I-CCP is deficient  
12 when compared to the FCC's guidance in the following ways:

- 13 • It does not adequately cover the introduction of new interfaces;  
14 (see discussion below in section a)
- 15 • It does not adequately cover retirement of existing interfaces;  
16 (see discussion below in section b)
- 17 • It does not provide a process for exceptions to the Change  
18 Control Process; (see discussion below in section c)

---

<sup>8</sup> BellSouth elected not to schedule discussion of this request during regular monthly Change Review Status meetings, as called for in the existing process. Instead, BellSouth insisted that the ALECs conduct their own meeting to discuss AT&T's Change Request. All ALECs that participate in the Change Control Process were invited to the meeting, as were several BellSouth representatives. The meeting, which was held on October 27, 2000, was attended by representatives of the core group of participating ALECs, all of whom concurred in the changes shown in Exhibit JMB-10.

- 1 • It does not provide an adequate process for defect correction;  
2 (see discussion below in section e and f)
- 3 • It does not provide an adequate process for managing changes  
4 to documentation and training; (see discussion below in section  
5 d)
- 6 • Its cycle times for all types of changes are too long; (see  
7 discussion below in section g)
- 8 • It does not include a firm notification schedule for all changes  
9 initiated by BellSouth; (see discussion below in section h)
- 10 • It does not include an adequate escalation process; (see  
11 discussion below in section j)
- 12 • It does not include an adequate dispute resolution process;  
13 (see discussion below in section i)
- 14 • It does not provide a means to implement changes in testing  
15 procedures; (see discussion below in section k)
- 16 • It does not provide for a pre-release testing environment; (see  
17 discussion below in section k)
- 18 • It permits BellSouth to unilaterally cancel, reject or reclassify  
19 ALEC submitted change requests; (see discussion below in  
20 section m)
- 21 • It permits BellSouth to unilaterally implement changes on a  
22 schedule that is inconsistent with the prioritization of requests  
23 by the ALECs; (see discussion below in section n)

- 1 • It does not include a defined process by which the process
- 2 itself can be changed through an orderly, informed vote by all
- 3 interested parties; (see discussion below in section o) and
- 4 • It is neither binding upon BellSouth nor subject to regulatory
- 5 oversight.

6

7 Additionally, BellSouth historically failed to follow even the limited

8 process prescribed in EICCP and this behavior has continued under

9 the I-CCP and CCP. BellSouth failed to adhere to the EICCP when

10 implementing the following types of changes to its systems, even

11 though EICPP provided a process for managing them:

- 12 • New and revised edits;
- 13 • Documentation and training changes;
- 14 • Regulatory required changes; and
- 15 • Changes BellSouth wished to initiate.

16 Each such change has the potential to disrupt ALEC processes and

17 systems and adversely affect provision of service to ALEC customers.

18

19 **Q. HOW ARE CHANGE REQUESTS PROCESSED UNDER THE**

20 **CHANGE CONTROL PROCESS?**

21 **A.** Under Version 2.0 of the CCP, a Change Review Committee

22 composed of BellSouth and ALECs meets three or four times

23 annually, based on a schedule prepared by BellSouth, to review and

1 prioritize change control requests. Monthly status meetings are held  
2 between prioritization meetings. In order for Type 2-5 (non-  
3 emergency) changes to be considered at any given prioritization  
4 meeting, they must be submitted some 33 business days in advance  
5 of the meeting. Changes that are accepted for implementation at the  
6 Change Review meeting may appear in a "release package" (which  
7 lists the requests that have been targeted for a scheduled release)  
8 approximately 35 business days after the Change Review meeting,  
9 and the implementation process can begin.

10

11 BellSouth's change control calendar establishes specific dates for all  
12 aspects of the process, including cut-off dates for submission of  
13 change requests before a particular Change Review meeting.

14 Requests made after the cut-off date generally will be reviewed only at  
15 the next meeting. Under the current change control calendar, the  
16 minimum time between the submission of a change control request  
17 and the issuance of a "release package" is over three calendar  
18 months, and could be more than six months. That period does not  
19 include the date of actual implementation of the change. Not only is  
20 this totally inadequate to meet ALEC needs, but it also offers  
21 BellSouth a competitive advantage in that BellSouth can (and often  
22 does) change its systems and processes at any time, without regard  
23 to Change Review meetings, and to the detriment of ALECs.

1 **Q. COULDN'T THIS COMMISSION SIMPLY DEFER THIS ISSUE TO**  
2 **THE ALECS AND BELL SOUTH TO RESOLVE?**

3 **A.** No. While BellSouth will argue that this is an industry issue, and that it  
4 should be managed through the Change Control Process, the fact of  
5 the matter BellSouth has total control over the process and may  
6 simply ignore the business needs and wishes of the ALECs.

7 BellSouth has no legally binding commitment to follow the process or  
8 to abide by any ALEC vote, and neither the Change Control Document  
9 nor the process itself are subject to regulatory oversight.

10

11 The CCP process is often described as a "collaborative" process.

12 While it is true that AT&T and the ALECs continue to work with

13 BellSouth to improve the CCP, the process is not collaborative.

14 ALECs advise what they need, BellSouth either agrees, agrees but

15 later changes its mind, or says no. In essence, BellSouth retains veto

16 power. Following is an example that illustrates BellSouth's control

17 over the process.

18

19 During the June 28, 2000, Prioritization Meeting, ALECs prioritized 23

20 change requests for inclusion in future releases. Five were associated

21 with pre-ordering and 18 with ordering. The existing process calls for

22 a Release Package Meeting to be held 30 business days after the

23 Prioritization Meeting. The purpose of a Release Package Meeting is

1 to inform the ALECs how the prioritized changes have been scheduled  
2 for implementation over the future releases and initiate the release  
3 management project team. This meeting, which should have been  
4 held on August 14, was not held until September 18 – delaying ALEC  
5 change requests by an additional month.

6  
7 Further, BellSouth did not comply with the CCP requirement that  
8 “Sizing and sequencing of prioritized change requests will begin with  
9 the top priority items and continue down through the list until the  
10 capacity constraints have been reached.” Instead, BellSouth  
11 unilaterally included only 6 items in its Proposed Release 8.0  
12 Package, none of which dealt with pre-ordering, and four of which  
13 were not highly prioritized items, including three of the lowest priority  
14 items from the ordering list. Exhibit JMB-11. Many of the items  
15 BellSouth elected not to address have been highly prioritized for  
16 implementation by the ALECs in past cycles, going back as far as two  
17 years.

18  
19 In addition to its ability to control the process, BellSouth also routinely  
20 elects not to comply with its requirements. BellSouth recently  
21 released Issue 9G of BellSouth’s Business Rules for Local Ordering  
22 (“BBR-LO”) which it admits includes significant changes that BellSouth  
23 did not submit to the CCP. (Exhibit JMB-12) Because BellSouth

1 circumvented the CCP, ALECs had little advance notice of the  
2 changes, and could not make the required coding and process  
3 changes by the proposed October 2, 2000, implementation date,  
4 which would result in BellSouth's systems rejecting their previously-  
5 valid orders. BellSouth nevertheless refused to withdraw these  
6 unapproved changes. Further, when BellSouth implemented the  
7 associated software release on October 2, 2000, it was found to  
8 contain programming defects (Exhibit JMB-13) that could have been  
9 avoided had BellSouth made the release available to ALECs for  
10 testing in advance of its implementation.

11

12 AT&T asks this Commission to specifically order BellSouth to adopt  
13 the changes requested herein, and to specifically place the Change  
14 Control Document under its supervision. It should be no more difficult  
15 to avoid state-to-state conflicts regarding this process than any other  
16 process incorporated into an Interconnection Agreement or into  
17 BellSouth's Statement of Generally Available Terms and Conditions  
18 ("SGAT").

19

20 **Q. YOU MENTIONED THAT YOU WOULD INTRODUCE A MARK-UP**  
21 **OF VERSION 2.0 OF THE CHANGE CONTROL PROCESS**  
22 **DOCUMENT. PLEASE TELL US WHY.**

1     **A.**     Following the August 23, 2000, Monthly Status Meeting, BellSouth  
2             produced Version 2.0 of the CCP document, incorporating all of its  
3             desired changes, whether or not ALECs concurred. For example,  
4             BellSouth incorporated into Version 2.0 a draft process to which no  
5             ALEC has concurred, identified as an “expedited feature process”.  
6             Version 2.0 is now the process document in use and is therefore the  
7             appropriate document to discuss in this arbitration. If BellSouth  
8             publishes an update to the CCP document before this Commission’s  
9             decision, that new version should then supplant Version 2.0 as the  
10            baseline for a decision.

11

12            The red line of Version 2.0 included with this testimony (Exhibit JMB-  
13            10) is the same as that concurred in by the ALECs on October 27<sup>th</sup>  
14            and November 1 and provided to BellSouth on November 5, 2000.

15

16            Substantive changes appear on 41 of 72 pages of the document, but  
17            often the same change appears on multiple pages.<sup>9</sup> It is this  
18            document that the Commission should use as its baseline in reaching  
19            its decision on this matter, as it shows the most current positions of  
20            the parties. As noted above, if BellSouth publishes an update to the  
21            CCP document, that new version should then supplant Version 2.0 as  
22            the baseline for this Commission’s decision.

1 Exhibit JMB-14 provides a cross reference of revisions to sub-issues  
2 and concerns.

3

4 In the following discussions, I will indicate the location and general  
5 content of the revised language associated with each sub-issue under  
6 discussion.

7

8 **a) *introduction of new interfaces;***

9

10 **Q. WHAT CHANGES DOES AT&T REQUEST RELATING TO**  
11 **INTRODUCTION OF NEW INTERFACES?**

12 **A.** Certain language proposed by BellSouth effectively would allow  
13 BellSouth, rather than the ALEC community, to determine whether  
14 changes to new interfaces should be managed under the CCP  
15 document. All such changes should be managed under the process,  
16 and failure to proceed under the CCP should be the exception. On  
17 page 48 of Exhibit JMB-10, AT&T has proposed deleting this language  
18 and adding language specifying that BellSouth will seek to follow the  
19 processes designed for changes originated by BellSouth, but will  
20 notify ALECs as promptly as possible if it is forced to deviate from that  
21 process.

22

---

<sup>9</sup> This page count, and the page numbering reference below are valid when the red-line document is printed on an HP Laser 4 printer. Use of another printer may result in a

1           ***b) retirement of existing interfaces;***

2

3   **Q.   WHAT CHANGES DOES AT&T REQUEST REGARDING**  
4           **RETIREMENT OF EXISTING INTERFACES?**

5   **A.**   It appears that the parties have reached agreement on a portion this  
6           issue. BellSouth's language regarding the retirement of interfaces  
7           may be found on page 48 of Exhibit JMB 10. This language has been  
8           enhanced by BellSouth and is now acceptable to AT&T.

9

10           During the October 27 and November 1, 2000 meetings, the ALECs  
11           reached consensus on additional language related to the retirement of  
12           versions of software as opposed to retirements of interfaces. This  
13           proposed language also appears beginning on page 48.

14

15           ***c) exceptions to the process;***

16

17   **Q.   WHAT CHANGES DOES AT&T REQUEST REGARDING**  
18           **EXCEPTIONS TO THE CHANGE CONTROL PROCESS?**

19   **A.**   AT&T requests a documented "exception" process for the handling of  
20           Type 2 – 5 Changes under unusual situations. AT&T's request may  
21           be found on pages 30-34 of Exhibit JMB-10 as Part 3 to Section 4 and  
22           titled "Part 3 – Types 2-5 Exception/Expedited Feature Process."<sup>10</sup>

---

different numbering.

<sup>10</sup> Additional related changes occur on pages 11 and 12.

1 In the interval between the publication of the Interim CCP Versions 1.4  
2 through 1.6, BellSouth separately proposed a draft “Expedited  
3 Feature” process. BellSouth’s proposal was included in Version 2.0 in  
4 Section 5 and elsewhere despite objections from various ALECs.  
5 (Exhibit JMB-15) Although BellSouth’s proposal is unacceptable as  
6 written, it appears to be a foundation upon which the “exceptions”  
7 process the ALECs have been requesting can be built. AT&T has  
8 proposed modifications that would make the process acceptable.

9  
10 Adoption of AT&T’s proposed changes will provide the ALECs and  
11 BellSouth with an acceptable documented “exception” and “expedited”  
12 process for the handling of Type 2 – 5 Changes.

13

14 ***d) documentation, including training;***

15

16 **Q. WHERE MAY AT&T’S DESIRED CHANGES RELATED TO**  
17 **THIS ISSUE BE FOUND AND WHAT DO THEY REQUEST?**

18 **A.** The phrase “training materials and job aids” has been added on  
19 page 7 of Exhibit JMB-10 to clearly indicate that changes which  
20 will result in revisions to the training materials and job aids  
21 BellSouth produces for ALECs are included within the scope of  
22 the process.

23

1 e) *defect correction;*

2 f) *emergency changes;*

3

4 **Q. WHAT CHANGES DOES AT&T REQUEST REGARDING DEFECT**  
5 **CORRECTION AND EMERGENCY CHANGES?**

6 **A.** In this testimony I have grouped these two sub-items together  
7 because emergency changes are a sub-set of defect correction.  
8 AT&T proposes language changes at various locations to reflect  
9 AT&T's and other ALECs' needs for a process that corrects defects in  
10 a timely manner. BellSouth's existing and proposed process (found  
11 largely in Section 5 of Version 2) remains focused on notification and  
12 contains excessively long intervals for correction. The "Draft  
13 Expedited Feature Process" proposed by BellSouth is applicable  
14 neither to defect correction nor emergency changes. AT&T's proposed  
15 language may be found on pages 34-43 of Exhibit JMB-10.

16

17 A significant change in the definition of a defect appears on page 34.  
18 This change resulted from ALEC input during the October 27<sup>th</sup> and  
19 November 1<sup>st</sup> meetings. A third bullet point was added to address the  
20 situation where the interface was working in accord with both of the

1 conditions in the first two bullets but still produced ineffective  
2 transactions.<sup>11</sup>

3

4 Adoption of AT&T's proposed changes will provide ALECs and  
5 BellSouth with a documented defect correction and emergency  
6 change process that meets their stated needs and is near parity with  
7 the processes BellSouth uses in its own retail and wholesale  
8 operations. Collectively the changes AT&T proposes here and in sub-  
9 issue (c) above combine to provided ALECs with capabilities they  
10 have been formally requesting from BellSouth since July of 1999.

11

12 ***g) an eight step cycle, repeated monthly;***

13

14 **Q. WHAT CHANGES DOES AT&T REQUEST REGARDING THE**  
15 **CHANGE CONTROL CYCLE?**

16 **A.** AT&T will concur with the number and sequence of steps contained in  
17 BellSouth's proposed Version 2 for Type 2 – 5 Change Requests, but  
18 continues its request for reduced cycle times in order to met its  
19 business needs. BellSouth's associated proposed language and  
20 AT&T's proposed modifications may be found on the following pages  
21 in Exhibit JMB-10:

22

---

<sup>11</sup> The new language treats as a defect the situation "where technical implementation is faulty or inaccurate such as to cause incorrect or improperly formatted data." The definitions

	<u>Page</u>	<u>Nature of AT&amp;T Proposed Change</u>
1		
2	21 and 23	reduction in Step 3 interval from 20 to 10
3		business days
4	21 and 26	reduction in Step 7 interval from 30 to 25
5		business days
6		

7 ***h) a firm schedule for notifications associated with changes***  
8 ***initiated by BellSouth;***

9

10 **Q. WHAT CHANGES DOES AT&T REQUEST RELATING TO**  
11 **NOTIFICATIONS?**

12 **A.** When BellSouth initiates Type 4 changes<sup>12</sup>, it should prepare and  
13 distribute requirements and specifications according to the schedules  
14 shown on page 22 of Exhibit JMB-10 and in the associated Table 4-3.  
15 The requested interval of 90 days advance notice for distribution of  
16 draft requirements and specifications is particularly critical as, ALECs  
17 otherwise may not have sufficient time in which to complete required  
18 system and process modifications on their side of the affected  
19 interface.

20

21 In its recent approval of the SBC 271 application for Texas, the FCC  
22 found the inclusion of a schedule for the distribution of draft

---

of defect on pages 12 and 63 also change to include this language.

<sup>12</sup> A type 4 change is a request initiated by BellSouth.

1 specifications or business rules to be significant.<sup>13</sup> In its Order  
2 approving Southwestern Bell's 271 application, the FCC discussed  
3 with approval particular provisions of Southwestern Bell's change  
4 control process. The FCC specifically noted that "the change  
5 agreement includes a schedule for the distribution of draft  
6 specifications, or business rules, receipt of competing carrier  
7 comments on the documentation, and distribution of final  
8 documentation that is based on the consensus of the parties." FCC  
9 Southwestern Bell Order at paragraph 111. In contrast, BellSouth has  
10 refused to provide ALECs with draft specifications. (Exhibit JMB-16)

11

12 In addition, on page 28 of Exhibit JMB-10, AT&T is requesting firm  
13 implementation intervals for both software-related and documentation-  
14 related issues under the normal Type 2-5 change process. The Type  
15 2-5 Exception/Expedite process, which is described in Section 4, Part  
16 3 (pages 30-35), is available for those instances in which the  
17 requested normal interval might not be appropriate.

18

19 ***i) a process for dispute resolution including referral to state***  
20 ***utility commissions or courts;***

21

---

<sup>13</sup> FCC 00-238, Order Approving SBC Communications Inc. Section 271 Application ("FCC SBC Order"), para. 111.

1 **Q. WHAT CHANGES DOES AT&T REQUEST RELATING TO DISPUTE**  
2 **RESOLUTION?**

3 **A.** The dispute resolution provisions found on page 55 of Exhibit JMB-10  
4 become effective if an issue is not resolved through the Escalation  
5 Process specified in the document, so the two processes must be  
6 considered together. The use of the escalation process ensures that  
7 neither party will bring forward an issue for mediation or as a formal  
8 complaint unless it has been appropriately and jointly investigated.

9

10 *j) a process for escalation of changes in progress.*

11

12 **Q. WHAT CHANGES DOES AT&T REQUEST RELATING TO**  
13 **ESCALATION OF CHANGES IN PROGRESS?**

14 **A.** AT&T has added specific intervals on pages 50 and 53 of Exhibit  
15 JMB-10 for various steps in the escalation process, so issues with  
16 more severe ALEC impact receive faster attention, while issues with  
17 less severe impact have a longer resolution interval.

18

19 *k) Testing Support and Testing*

20

21 **Q. WHAT CHANGES DOES AT&T REQUEST RELATING TO TESTING**  
22 **SUPPORT AND A TESTING ENVIRONMENT?**

1   **A.**    During the recent arbitration hearing between AT&T and BellSouth in  
2           North Carolina, the parties reached an agreement regarding certain  
3           changes to these sections. Unfortunately, the language in BellSouth's  
4           proposed Version 2.0 does not comport with that discussion. The  
5           mark-ups proposed by AT&T correctly memorialize that discussion  
6           and are shown on pages 8 and 57 of Exhibit JMB-10.

7

8           ***l)       Provision of a Trouble Number for Type 1 Events***

9

10   **Q.**    **WHAT CHANGES DOES AT&T REQUEST RELATING TO TYPE 1**  
11           **EVENTS?**

12   **A.**    BellSouth has agreed to provide the process requested by AT&T, but  
13           that agreement is not reflected in Version 2.0. I have added  
14           supporting language for this agreement at page 18 of Exhibit JMB-10.

15

16           ***n)       The Ability of BellSouth to Unilaterally Cancel or Reject an***  
17           ***ALEC Request***

18

19   **Q.**    **WHAT CHANGES DOES AT&T REQUEST RELATING TO THE**  
20           **CANCELLATION, REJECTION OR RECLASSIFICATION OF A**  
21           **CHANGE REQUEST?**

22   **A.**    As presently written, the change control document effectively gives  
23           BellSouth up-front veto power over any change request submitted by

1 ALECs. This is unreasonable; changes submitted by ALECs should  
2 not be subject to arbitrary cancellation or rejection by BellSouth.  
3 Instead, all Type 5 ALEC-submitted changes should progress to the  
4 Monthly Status Meeting Stage. BellSouth should provide the  
5 appropriate Subject Matter Expert and present its case for  
6 cancellation/rejection to the industry at that time. Following input from  
7 the industry, BellSouth and the originating ALEC will determine the  
8 disposition of the change request in question. Without this process,  
9 BellSouth retains up-front veto power over all ALEC change requests,  
10 thus limiting the scope and effectiveness of the process. I have added  
11 supporting language for this requirement at pages 23 and 24 of Exhibit  
12 JMB-10.

13

14 ***n) Change Review – Prioritization – Release Package***  
15 ***Development and Approval***

16

17 **Q. WHAT CHANGES DOES AT&T REQUEST RELATING TO CHANGE**  
18 **REVIEW MEETINGS, PRIORITIZATION AND RELEASE PACKAGE**  
19 **DEVELOPMENT AND APPROVAL?**

20 **A.** AT&T's proposed language is shown on pages 25-27 and pages 44-  
21 47 of Exhibit JMB-10. Type 2-5 changes must drive the need for and  
22 content of future software releases in order to provide certainty to the  
23 process. The present process, however, is driven by an arbitrary

1 release schedule developed without input from the affected ALECs or  
2 the CCP. AT&T's suggested language establishes fixed points for  
3 prioritization meetings, and requires all prioritized change requests to  
4 be assigned to specific future releases. The process requested by  
5 AT&T remains flexible, however, since change requests may be  
6 reassigned to a different software release by group consensus during  
7 any Release Package Meeting.

8

9 ***o) The Process of Changing the Process.***

10

11 **Q. WHAT CHANGES DOES AT&T REQUEST RELATING TO THE**  
12 **PROCESS OF CHANGING THE PROCESS?**

13 **A.** The current document actually provides no procedure at all for  
14 amending or changing the change control process, and therefore  
15 repeated situations such as occurred on August 23, 2000 discussed  
16 above are likely to occur. At page 56 of Exhibit JMB-10, I have  
17 provided language that provides for an orderly, informed vote on  
18 requested changes. The proposed process requires a supermajority  
19 (2/3) vote in favor of any change protecting BellSouth from whimsical  
20 ALEC behavior.

21

22 **Q. PLEASE SUMMARIZE AT&T'S REQUEST FOR SPECIFIC**  
23 **CHANGES TO BELL SOUTH'S CHANGE CONTROL PROCESS.**

- 1    **A.**    AT&T asks this Commission to order BellSouth to incorporate the  
2           following attributes in its Change Control Process.
- 3           1.    It should cover the following processes:
- 4                   •    changes to manual as well as electronic processes,  
5                            whether sought by BellSouth or by ALECs;
- 6                   •    introduction of new interfaces;
- 7                   •    billing; and
- 8                   •    retirement of existing interfaces.
- 9           2.    It should provide processes for the following issues:
- 10                   •   defect correction;
- 11                   •   exceptions to the Change Control Process;
- 12                   •   escalation of change requests;
- 13                   •   interpretation and clarification of operational  
14                            documentation; and
- 15                   •   dispute resolution.
- 16           3.    It should provide for a permanent test environment and the  
17           ability to change the testing process.
- 18           4.    It should require cycle times that produce monthly prioritization  
19           meetings between BellSouth and ALECs and a maximum time  
20           of 60 calendar days from submission of a Type 2-5 change  
21           through its inclusion in a release package, with a process for  
22           more frequent meetings as necessary.

- 1           5.     It should include a firm notification schedule for changes  
2                   initiated by BellSouth.
- 3           6.     It should be legally binding upon BellSouth and subject to  
4                   regulatory oversight to ensure that BellSouth can not ignore  
5                   change control processes with impunity.

6

7   **Q.     WHAT DOES AT&T REQUEST THAT THE COMMISSION DO**  
8           **REGARDING THIS ISSUE?**

- 9   **A.     AT&T requests that the Commission correct these deficiencies by**  
10           adopting the revisions to the CCP attached as Exhibit JMB-10 to my  
11           testimony.

12

13

**ISSUE 31**

14

**THE EQUIVALENT FUNCTIONALITY ISSUE**

15

16   **Q.     PLEASE EXPLAIN AT&T'S REQUEST FOR EQUIVALENT OSS**  
17           **FUNCTIONALITY.**

- 18   **A.     In Issue 31, AT&T requests a number of OSS improvements that have**  
19           been at issue between the companies for some time.  Although  
20           repeatedly requested by AT&T, BellSouth has yet to provide AT&T  
21           with OSS functionality it provides to itself to support the quality of  
22           service enjoyed by BellSouth's retail customers.  BellSouth enjoys the  
23           benefits of a suite of interconnected databases and computer

1 processing systems of its own choosing and designed as best  
2 possible to enhance the efficiency and effectiveness of its operations.  
3 Even when manual processes are required, BellSouth is able to  
4 design such processes to take maximum advantage of the available  
5 computing, database, and communications power it possesses.

6  
7 AT&T, on the other hand, when attempting to access BellSouth's  
8 databases, computer processing, communications resources, and  
9 manual processes, is restricted by BellSouth's unwillingness to  
10 provide parity to its competitors. Throughout the life of the existing  
11 AT&T-BellSouth Interconnection Agreement, AT&T has repeatedly  
12 sought to obtain access that would allow it to have functionality equal  
13 to that enjoyed by BellSouth. Section 251 of the 1996 Act clearly  
14 envisioned that ILECs like BellSouth might be inclined to be less than  
15 fully cooperative in many cases, and therefore authorizes state  
16 commissions to address this situation through arbitration. In this  
17 Arbitration, AT&T asks the Commission to mandate implementation of  
18 equivalent functionality for the following three conditions:

- 19 • Parsed customer service records;
- 20 • The ability to submit orders electronically for all services  
21 and elements; and
- 22 • Electronic processing after electronic ordering, without  
23 subsequent manual processing by BellSouth personnel.

1 Exhibit JMB-17 depicts the interrelationship of these conditions and  
2 AT&T's desired resolutions.

3

4 **Q. PLEASE EXPLAIN WHY AT&T REQUIRES BELLSOUTH TO**  
5 **PROVIDE PARSED CUSTOMER SERVICE RECORDS.**

6 **A.** AT&T needs this functionality in order to fully integrate its ordering  
7 systems with BellSouth's, thereby obtaining the functionality now  
8 available to BellSouth. BellSouth's internal systems parse the  
9 sections and fields of the CSR as needed to meet software program  
10 requirements, thus precluding the need for service representatives to  
11 re-enter CSR information when processing orders. Additionally,  
12 BellSouth should provide parsed customer service records for  
13 preordering pursuant to industry standards. Parsing rules for CSRs  
14 have been included in industry standards since the publication of the  
15 LSOG3/TCIF9 guidelines July, 1998.

16

17 **Q. PLEASE EXPLAIN WHAT YOU MEAN WHEN YOU SAY THAT**  
18 **AT&T WANTS BELLSOUTH TO PROVIDE PARSED CUSTOMER**  
19 **SERVICE RECORDS.**

20 **A.** We are asking BellSouth to provide us with electronic customer  
21 service record data that is divided up into fields that BellSouth's  
22 systems can recognize when we return it to BellSouth. For example,  
23 BellSouth provides us with the customer's listed name as one field, or

1 block, of data. But when we order listing service for that customer,  
2 BellSouth requires us to enter the customer's name in at least two  
3 fields instead of one. So we have to separate the information  
4 manually, which takes time and costs extra money. BellSouth's  
5 service representatives don't have to do this, so AT&T is requesting  
6 (and entitled to) the same functionality.

7

8 **Q. PLEASE EXPLAIN WHY AT&T REQUIRES THE ABILITY TO**  
9 **SUBMIT ORDERS ELECTRONICALLY.**

10 **A.** BellSouth can place an electronic order for every service and product  
11 that it provides to its own customers. AT&T requires this same ability  
12 in order to compete against BellSouth. Lack of electronic ordering  
13 increases the possibility of errors, extends intervals, increases costs,  
14 and reduces ALECs' ability to compete due to the required (but  
15 unnecessary) manual intervention by both ALEC and BellSouth  
16 personnel.

17

18 Although I have listed electronic ordering as a desired functionality,  
19 the ability to submit orders electronically for all services and elements  
20 and the ability to have all electronically submitted orders processed  
21 without subsequent manual intervention, which is discussed below,  
22 are sequentially and dependently related - it is impossible to have the  
23 second ability until the first has been provided. Ideally, both should be

1 provided simultaneously because BellSouth possesses both  
2 capabilities for every service and product that it provides to its own  
3 customers.

4  
5 BellSouth has argued that it already offers equivalent functionality to  
6 AT&T because BellSouth uses some manual steps in its own internal  
7 processes. But the manual processes BellSouth describes involve  
8 pre-ordering, not ordering. Further, BellSouth has admitted that its  
9 service representatives can order every retail service electronically.  
10 AT&T seeks that same ability. Despite BellSouth's own capabilities,  
11 however, it has continually refused to provide fully electronic ordering  
12 capability to ALECs, let alone fully automated processing of  
13 electronically submitted orders, despite the fact that it provides these  
14 capabilities to itself.

15

16 **Q. PLEASE EXPLAIN WHY AT&T REQUIRES ELECTRONIC**  
17 **PROCESSING AFTER ELECTRONIC ORDERING, WITHOUT**  
18 **SUBSEQUENT MANUAL HANDLING BY BELLSOUTH**  
19 **PERSONNEL.**

20 **A.** The short answer is because this is how BellSouth's own orders are  
21 processed and that without parity AT&T and the other ALECs cannot  
22 be competitive in the market place. Because electronic ordering and  
23 processing is less expensive, faster, and less prone to errors than

1 manual ordering and processing, BellSouth's electronic ordering and  
2 processing capability puts ALECs at a competitive disadvantage.

3

4 **Q. HOW DOES BELL SOUTH PROCESS ITS OWN SERVICE**  
5 **REQUESTS?**

6 **A.** Exhibit JMB-18 depicts the methods by which BellSouth submits its  
7 customers' requests to its legacy computer systems. In Florida,  
8 BellSouth uses the Regional Negotiation System ("RNS") as the  
9 primary front-end system to input residential service requests and  
10 uses the Regional Ordering System ("ROS") as the front-end system  
11 for all business service requests<sup>14</sup>. The legacy system to which both  
12 RNS and ROS send their requests is the Service Order Control  
13 System ("SOCS"). SOCS assigns service order numbers to each  
14 request and processes all requests received through an edit program  
15 known as the Service Order Edit Routine ("SOER"). If, and only if, the  
16 service request passes the SOER edits does it actually become a  
17 service order, which SOCS then can provide to BellSouth's  
18 downstream provisioning legacy systems. A service request that has  
19 become a service order is said to be an "Assignable Order" and is  
20 referred to as having reached "AO" status. A service request that

---

<sup>14</sup> The system that ROS replaced during 1999, the Direct Order Entry ("DOE") system, has been retained by BellSouth for two purposes since it can be used to input any type of service request (business, residential, or UNE). These two uses are as a secondary input system in BellSouth retail residence operations, and as the interface used in the Local Carrier Service Center ("LCSC") to input ALEC manual and electronically submitted "designed fallout" local service requests.

1 does not pass the SOER edits is rejected and returned to the  
2 originating BellSouth input center for correction.

3  
4 In order to minimize the number of RNS and ROS service requests  
5 that are rejected by the SOER edits in SOCS, BellSouth has provided  
6 editing and formatting software in RNS and ROS. This software  
7 prevents BellSouth employees from sending service requests that  
8 have certain errors. In the RNS system, these software programs are  
9 known as the FID and USOC Edit Library<sup>15</sup> ("FUEL") and the Service  
10 Order Layout and Assembly Routine ("SOLAR"). In the newer ROS  
11 UNIX application this edit software is not separately identified.

12  
13 Once a BellSouth representative has gathered and arranged all of the  
14 information necessary to place a service request on behalf of a  
15 BellSouth retail customer, a process known as pre-ordering, the  
16 employee types the order into RNS or ROS. If the pre-ordering  
17 information is accurate and the employee has made no input errors,  
18 the service request will pass the RNS or ROS edits, be forwarded to  
19 SOCS, pass the SOER edits, obtain AO status and be distributed as  
20 necessary to BellSouth's downstream legacy systems.

21 Thus, barring error, all BellSouth services and products can be  
22 requested and ordered as the result of the typed input of a single

---

<sup>15</sup> FID stands for Feature Identification, USOC for Uniform Service Order Code.

1 employee. AT&T seeks this same capability, which I shall refer to as  
2 “Flow-through Ordering”.

3

4 **Q. DOES BELLSOUTH PROVIDE FLOW-THROUGH ORDERING FOR**  
5 **ALL SERVICES AND ELEMENTS TO AT&T AND THE OTHER**  
6 **ALECS, AS IT DOES FOR ITSELF?**

7 **A.** No. BellSouth has provided Flow-Through Ordering for some services  
8 and elements, but many other services and elements must be  
9 manually ordered, manually processed, or both.

10

11 **Q. PLEASE EXPLAIN HOW BELLSOUTH RECEIVES AND**  
12 **PROCESSES ALEC SERVICE REQUESTS.**

13 **A.** Exhibit JMB-19 depicts the methods by which BellSouth processes  
14 service requests submitted by ALECs into service orders. ALECs  
15 each have their own front end systems to prepare their service  
16 requests, which then are sent to BellSouth using one of three  
17 electronic interfaces: the Electronic Data Interchange (“EDI”), the  
18 Telecommunications Application Gateway (“TAG”) or the Local  
19 Exchange Navigation System (“LENS”). Both EDI and TAG are based  
20 on industry standards, while LENS is proprietary to BellSouth.  
21 Because the requests are sent to BellSouth in a Local Service  
22 Request (“LSR”) format, which is different from the formats generated  
23 by RNS and ROS, BellSouth uses a suite of hardware and software

1 systems and programs to convert the ALEC LSRs into formats that  
2 SOCS can recognize. The SOCS system that processes the ALEC  
3 service requests is exactly the same SOCS that processes a  
4 BellSouth service request, and it applies the very same SOER edit to  
5 ALEC service requests before either rejecting the request or allowing  
6 it to reach Assignable Order status.

7  
8 The suite of hardware and software systems and programs that  
9 BellSouth has built between the ALECs and SOCS was designed by  
10 BellSouth from end-to-end and is not controlled by any industry  
11 standards, which relate only to communications between the EDI and  
12 TAG portions of the interface. Once an ALEC service request has  
13 been received and accepted by the EDI or TAG gateway, BellSouth  
14 first sends it to a Router that simply determines whether or not the  
15 service request includes Local Number Portability ("LNP"). Service  
16 requests including LNP are then routed to the LNP Gateway, while all  
17 others are routed sequentially to the Local Exchange Ordering ("LEO")  
18 and Local Exchange Service Order Generator ("LESOG") systems for  
19 editing and formatting. The LNP Gateway performs the same edits  
20 and formatting as LEO/LESOG for service requests that include LNP,  
21 and it also communicates the unique LNP elements of the request to  
22 the national LNP Service Management System ("SMS") which is  
23 external to BellSouth.

1           Once service requests are formatted by LEO/LESOG or the LNP  
2           Gateway they are forwarded to SOCS, but BellSouth has not  
3           programmed LEO/LESOG and the LNP Gateway to format all  
4           electronically submitted ALEC service requests into SOCS-readable  
5           requests. Instead, BellSouth designed these components to cause  
6           many orders to “fall out” of the electronic system, requiring manual  
7           processing. Additionally, LEO/LESOG, the LNP Gateway, and SOCS  
8           do not always perform as they should: they route a number of  
9           perfectly valid ALEC service requests to manual processing when they  
10          should not.

11

12          Thus, electronically submitted electronic service requests may receive  
13          manual processing 1) because BellSouth has not designed its system  
14          to process the request, which is known as designed Manual Fall Out  
15          or 2) because BellSouth’s systems fail to perform as designed, which  
16          is known as BellSouth-Caused System Failure. Manual processing is  
17          undesirable because, as the FCC has repeatedly recognized, manual  
18          processing limits reliability by increasing errors, increasing installation  
19          intervals, and increasing costs.

20

21   **Q.   IS IT POSSIBLE TO QUANTIFY THE IMPACT OF DESIGNED**  
22   **MANUAL FALL OUT AND BELL SOUTH-CAUSED SYSTEM**  
23   **FAILURES ON ALEC LOCAL SERVICE REQUESTS?**

1     **A.**     Yes, in January 2000, BellSouth began providing additional data  
2             concerning the level of Manual Fall Out and BellSouth-Caused  
3             System Failure experienced by ALEC service requests. This data is  
4             now available for each of the three interfaces (LENS, TAG and EDI)  
5             and by four groupings of products and services (Local Number  
6             Portability ("LNP"), UNEs, Business Resale, and Residence Resale).  
7             In Exhibit JMB-20, I have extracted from BellSouth's May 2000  
8             through September 2000 Flow-Through Reports five key data points  
9             for each interface and product combination and calculated five  
10            measures of Manual Fall Out, System Failure, and Flow-Through  
11            Ordering.

12  
13            As I explain below, BellSouth's data clearly shows that electronically  
14            submitted ALEC LSRs, particularly those for LNP, UNE or business  
15            products have low maximum flow-through rates, that the maximum  
16            flow-through rates for the products AT&T is ordering are even lower,  
17            and that both of these results are due to BellSouth's design decisions,  
18            and the failure of BellSouth's interfaces to perform as designed.

19  
20            The data points and their definitions shown in Exhibit JMB-20 are as  
21            follows:

- 22            •     Total Mechanized LSRs – the number of ALEC Local Service  
23            Requests submitted electronically.

- 1           ● Manual Fall Out – the number of ALEC Local Service Requests  
2           submitted electronically that by BellSouth’s design are routed for  
3           manual processing.  
4
- 5           ● Validated LSRs – the number of ALEC Local Service Requests  
6           submitted electronically which do not contain an ALEC auto  
7           clarification error<sup>16</sup> and for which BellSouth has designed  
8           automated processing.  
9
- 10          ● BellSouth-Caused System Failures – the number of ALEC Local  
11          Service Requests that were submitted electronically and became  
12          validated LSRs, but which BellSouth’s systems failed to process,  
13          and were instead routed to manual handling.  
14
- 15          ● Flow-Through Issued Service Orders – the number of ALEC Local  
16          Service Requests submitted electronically that are forwarded to  
17          SOCS without BellSouth human intervention.  
18

19          The measurements and their definitions are as follows:

- 20          ● % Manual Fall Out – LSRs –The percentage of ALEC LSRs  
21          subjected to manual processing by BellSouth’s design decisions,  
22          calculated by dividing Manual Fall Out by Total Mechanized LSRs.

---

<sup>16</sup> An auto clarification error is an input error made by an ALEC that BellSouth’s systems have been programmed to find and return automatically without human intervention.

- 1           • % BellSouth System Failure – LSRs –The percentage of ALEC  
2           LSRs subjected to manual processing because BellSouth’s  
3           systems fail to perform as designed, calculated by dividing  
4           BellSouth-Caused System Failures by LSRs.  
5
- 6           • % Total BellSouth Fall Out + Failure – LSRs – The total  
7           percentage of ALEC LSRs subjected to manual processing by  
8           BellSouth causes, calculated as the sum of the two previous  
9           measures.  
10
- 11          • % Maximum Flow Through ALEC Orders – 100% - the % Total  
12          BellSouth Fall Out + Failure – LSRs. The maximum possible  
13          percentage of electronically submitted ALEC LSRs that would be  
14          Flow Through processed if ALECs make absolutely no input errors.  
15
- 16          • % BellSouth System Failure – VLSR – The percentage of validated  
17          LSRs, which BellSouth’s systems have been designed to process,  
18          that encounter unexpected failures, calculated by dividing  
19          BellSouth-Caused System Failures by Validated LSRs.  
20

21           As discussed above, barring input error by its employees, BellSouth  
22           has Flow Through Ordering capability for 100% of the products and  
23           services it provides to its retail customers. The interfaces BellSouth

1 provides to ALECs simply do not provide ALECs with the same  
 2 capability. With the exception of residential resale service, only one-  
 3 third to two-thirds of ALECs' error-free LSRs can be processed on a  
 4 Flow Through basis.

5  
 6 I reviewed BellSouth's data For September 2000, and determined that  
 7 ALECs' maximum possible Flow Through opportunity – even if they  
 8 had submitted every service request with absolutely no input errors –  
 9 was as low as 6%. For example, if ALECs had submitted 100 valid,  
 10 error free orders for Local Number Portability (“LNP”) over the TAG  
 11 gateway in September of this year, only 6 of them would have flowed  
 12 through to SOCs.

13

<b>% Maximum Flow Through ALEC Orders September 2000</b>				
<b>Interface/ Product</b>	<b>LNP</b>	<b>UNE</b>	<b>Business Resale</b>	<b>Residence Resale</b>
<b>TAG</b>	<b>6%</b>	<b>65%</b>	<b>45%</b>	<b>94%</b>
<b>EDI</b>	<b>35%</b>	<b>18%</b>	<b>30%</b>	<b>65%</b>
<b>LENS</b>	<b>NA</b>	<b>55%</b>	<b>52%</b>	<b>85%</b>

14

1           Only in the Residence Resale product grouping does any interface  
 2           provide any acceptable level of Flow Through Ordering capability to  
 3           ALECs. This is because the total percentage of ALEC LSRs  
 4           subjected to manual processing by BellSouth causes (% Total  
 5           BellSouth Fall Out + Failure – LSRs, shown in the table below), is  
 6           unacceptably high for all interface/product combinations except  
 7           TAG/Residence Resale:

8

<b><u>% Total BellSouth Fall Out + Failure – LSRs September 2000</u></b>				
<b>Interface/ Product</b>	<b>LNP</b>	<b>UNE</b>	<b>Business Resale</b>	<b>Residence Resale</b>
<b>TAG</b>	<b>94%</b>	<b>35%</b>	<b>55%</b>	<b>6%</b>
<b>EDI</b>	<b>65%</b>	<b>82%</b>	<b>70%</b>	<b>35%</b>
<b>LENS</b>	<b>NA</b>	<b>45%</b>	<b>48%</b>	<b>15%</b>

9

10           Each electronically submitted LSR represented by the percentages in  
 11           these tables was touched by both the ALEC that originated the  
 12           request and by BellSouth. BellSouth, and BellSouth alone, controls  
 13           the two components (manual fallout and system failure) that generate  
 14           the low maximum flow-through percentages shown in the table above.

1 The table below shows the incidence of manual fallout and system  
 2 failure for various product lines across interfaces for September of this  
 3 year. Curiously, the rate of system failure varies across interfaces:

<b><u>Variance Manual Fall Out / System Failure – September 2000</u></b>				
<b>Interface/ Product</b>	<b>LNP</b>	<b>UNE</b>	<b>Business Resale</b>	<b>Residence Resale</b>
<b>TAG</b>	<b>58% manual fallout/36% system failure</b>	<b>21% / 14%</b>	<b>42% / 13%</b>	<b>3% / 3%</b>
<b>EDI</b>	<b>26% / 39%</b>	<b>77% / 5%</b>	<b>60% / 10%</b>	<b>5% / 30%</b>
<b>LENS</b>	<b>NA</b>	<b>23% / 22%</b>	<b>24% / 24%</b>	<b>8% / 7%</b>

4  
 5 The variance in system failure rates between the interfaces when  
 6 processing service requests for the same product grouping is difficult  
 7 to understand. As shown in Exhibit JMB-19, the LEO/LESOG, LNP  
 8 Gateway and SOCS systems in which these failures actually occur are  
 9 common to all three TAG, EDI, and LENS interfaces, so one would  
 10 expect the system failure rates to be the same or at least similar.  
 11 These system failure rates become even more significant when one

1 considers that the failures occur on service requests that the systems  
 2 were specifically designed to process. The table below (% BellSouth  
 3 System Failure – VLSR) captures this situation. It shows the  
 4 percentage of validated LSRs, which BellSouth’s systems were  
 5 designed to process, but which nevertheless encounter unexpected  
 6 failures. In September the various interfaces performed as follows:

7

<b>The % BellSouth System Failure – VLSR – September 2000</b>				
<b>Interface/ Product</b>	<b>LNP</b>	<b>UNE</b>	<b>Business Resale</b>	<b>Residence Resale</b>
<b>TAG</b>	<b>92%</b>	<b>22%</b>	<b>30%</b>	<b>4%</b>
<b>EDI</b>	<b>56%</b>	<b>59%</b>	<b>30%</b>	<b>38%</b>
<b>LENS</b>	<b>NA</b>	<b>33%</b>	<b>38%</b>	<b>9%</b>

8

9 The table reveals that the EDI interface failed to process 30% to 59%  
 10 of the validated local service requests it was designed to process.

11 The TAG interface failed to process 4% to 92% of the validated local  
 12 service requests it was designed to process. The LENS interface  
 13 failed to perform as designed 9% to 38% of the time.

14

1 **Q. YOU HAVE DISCUSSED DATA FOR SEPTEMBER 2000. IS**  
2 **THERE ANY EVIDENCE OF IMPROVEMENT IN THESE RESULTS**  
3 **OVER TIME?**

4 **A.** No. In Exhibit JMB-21, I show the maximum possible flow through  
5 results from May through September for each of the four product  
6 groups (LNP, UNE, Business, Residence) and ordering interface (EDI,  
7 TAG, LENS). There is no significant or consistent improvement trend.  
8 In fact, September's results for two combinations (TAG used for LNP  
9 and EDI used for UNE) are at all time lows.

10

11 **Q. HOW DOES AT&T'S FLOW THROUGH EXPERIENCE COMPARE**  
12 **WITH THE ALEC AGGREGATE YOU HAVE PRESENTED?**

13 **A.** I have performed additional analysis comparing flow through data for  
14 AT&T and the aggregated ALEC data shown above. The full results  
15 of my additional analysis is shown in Exhibit JMB-22. Based on this  
16 additional analysis, it is obvious that the flow through capabilities  
17 available to AT&T from BellSouth are inferior to those available to the  
18 ALECs as a whole.

19

20 On page one of Exhibit JMB-22 I have compared ALEC Aggregate  
21 and AT&T specific data concerning 1) Designed Manual Fallout, 2)  
22 BellSouth System Error, 3) Total Fallout Caused by BellSouth, and 4)  
23 the resulting Maximum Possible % Flow-Through for May, June and

1 July. Maximum Possible % Flow-Through is determined by  
 2 subtracting Total % Fallout Caused by BellSouth from 100%.

3

4 This table presents the Maximum Possible % Flow-Through results for  
 5 AT&T's LNP, UNE and Business LSRs.<sup>17</sup>

6

#### Maximum Possible % Flow-Through Comparison

Product	LPN	UNE	Business (Resale)
Measure / Month	ALEC/ AT&T	ALEC/ AT&T	ALEC/ AT&T
Maximum Possible % Flow- Through			
• May	32% / <b>33%</b>	65% / <b>18%</b>	49% / <b>67%</b>
• June	37% / <b>19%</b>	68% / <b>20%</b>	53% / <b>70%</b>
• July	37% / <b>19%</b>	65% / <b>18%</b>	53% / <b>41%</b>

7

8 It is obvious from this data that the flow through capabilities available  
 9 to AT&T from BellSouth are inferior to those available to the ALECs as  
 10 a whole.

11

12 Because AT&T uses only the EDI interface to place LSR's, I carried  
 13 my analysis one step further and compared only data associated with  
 14 EDI transactions. Here I used official flow-through data as reported by  
 15 BellSouth. BellSouth calls this result its "CLEC Error Excluded Flow-  
 16 through", in my analysis I label this result "System Potential Flow-

<sup>17</sup> AT&T does not actually order any Resale Business services. The LSRs BellSouth reports in this category are directory listing orders associated with UNE services.

1 Through” or “Potential EDI” on pages 2-6<sup>18</sup>. This table compares  
 2 Aggregate ALEC EDI results to AT&T EDI results.

3

Product Measure/ Interface	LPN		UNE		Business (Resale)	
	ALEC	AT&T	ALEC	AT&T	ALEC	AT&T
Potential EDI						
• May	45%	0%	38%	8%	54%	57%
• June	51%	0%	58%	13%	64%	100%
• July	53%	0%	58%	3.4%	51%	100%

4

5 Again, it is obvious that the capabilities available to AT&T from  
 6 BellSouth are inferior to those available to the ALECs as a whole.<sup>19</sup>

7 What is not so readily obvious is why.

8

9 The reason is because AT&T’s orders are being subjected to higher  
 10 rates of Designed Manual Fallout and BellSouth System Errors.

11 AT&T’s LNP orders encountered Designed Manual Fallout of 67%,  
 12 74% and 81%, respectively, during May, June and July. AT&T’s UNE  
 13 orders encountered Designed Manual Fallout of 62%, 60% and 49%  
 14 as well as BellSouth System Error rates of 20%, 20% and 33%.

15 AT&T’s “Business” orders encountered Designed Manual Fallout of  
 16 0%, 30% and 59% and BellSouth System Errors of 33%, 0% and

<sup>18</sup> In the Exhibit (JMB-22) I produce data for three calculations, Basic, Achieved, and Potential as described on page 3. Here I use only the Potential data.

<sup>19</sup> It would appear that AT&T’s results for Business are better than the ALEC results, but this is a false depiction for two reasons, 1) AT&T’s “business” orders are directory listings only and 2) the flawed understanding of the meaning of the “Potential” measurement.

1 0%.<sup>20</sup> BellSouth's system design and operational performance  
2 discriminates against ALECs using LNP and UNE products as the  
3 basis of their market entry.

4

5 **Q. WHAT HAPPENS TO AN AT&T OR OTHER ALEC'S LSR WHEN IT**  
6 **ENCOUNTERS EITHER DESIGNED MANUAL FALLOUT OR**  
7 **BELLSOUTH SYSTEM ERROR?**

8 **A.** BellSouth routes the LSR to the Local Carrier Service Center ("LCSC")  
9 for manual processing. This causes delay and increases the  
10 probability of input and provisioning error.

11

12 **Q. HAVE YOU QUANTIFIED THE DELAY THAT RESULTS FROM**  
13 **MANUAL PROCESSING?**

14 **A.** Yes, and it is unreasonable, as explained below. While it is not  
15 possible with available data to quantify the additional error rate, any  
16 increase in errors is both undesirable and unreasonable.

17

18 BellSouth has long claimed that electronic orders that encounter either  
19 Designed Manual Fallout and or BellSouth System Errors are  
20 immediately routed to the LCSC for handling and that errors receive  
21 some sort of priority handling. In March of this year BellSouth began  
22 producing a report that clearly indicates this does not happen. This

---

<sup>20</sup> Regardless of any other conditions, whenever there are any number of issued service orders, and a zero (0) percent of BellSouth System Errors, BellSouth's flawed calculation will

1 new report is known as the CLEC LSR Report. Exhibit JMB-23  
 2 provides an illustrative copy of this report for one of AT&T's Operating  
 3 Company Numbers ("OCN").

4  
 5 This new report makes it possible to determine the duration between  
 6 the time an LSR falls out for manual processing (as a result of either a  
 7 Designed Manual Fallout or a BellSouth System Error) and the time  
 8 an LCSC representative "claims" that LSR to begin working on it. The  
 9 following table provides the average "Claim Interval" for AT&T's LSRs  
 10 in May and June.

OCN	Average Claim Interval	
	May	June
7125	40 hours	40 hours
7421	29 hours	36 hours
7680	30 hours	30 hours

11  
 12 Clearly, it is unreasonable to place an electronically submitted LSR  
 13 into a holding pattern for 29 to 40 hours. While such orders are  
 14 waiting to be processed, other orders actually are being processed  
 15 and may use resources that should have been assigned to the  
 16 delayed order. Delays of this length will often result in the issuance of  
 17 an order with a change in installation due date, which may not be  
 18 acceptable to the customer. Other time-dependent factors associated  
 19 with the order also are likely to change. Ultimately, many orders  
 20 delayed in this manner will have to be cancelled or supplemented.

---

produce a 100% result.

1 **Q. PLEASE SUMMARIZE YOUR TESTIMONY CONCERNING THE**  
2 **NEED FOR FULL ELECTRONIC ORDERING WITH FLOW**  
3 **THROUGH CAPABILITY.**

4 **A.** BellSouth's current ordering interfaces do not provide AT&T and other  
5 ALEC's with Flow-Through Ordering capabilities equal to that enjoyed  
6 by BellSouth in its retail operations. Although BellSouth has Flow-  
7 Through Ordering for all of its services, it does not provide the ability  
8 to submit local service requests electronically for all of the services  
9 and elements that AT&T wishes to purchase. Additionally, even when  
10 BellSouth makes available the ability to electronically submit a  
11 request, often it does not provide the automated capability to process  
12 the order on its side of the interface. Further, even when both the  
13 ability to submit requests electronically and an automated capability  
14 has been designed, the process often fails to perform as designed.  
15 These failures on BellSouth's part are particularly evident in the  
16 Business, UNE and LNP product groupings. Thus, BellSouth not only  
17 provides discriminatory treatment of ALEC resale transactions, but it  
18 also sets up additional levels of discrimination between resale, UNE  
19 and facilities-based ALECs.

20  
21 In order to eliminate this discrimination, AT&T asks this Commission  
22 to order BellSouth to provide both electronic LSR submission  
23 capability and a fully automated process for handling electronically

1 submitted requests for all of the services and elements available to  
2 ALECs.

3

4

## ISSUE 32

5

### THE MAINTENANCE AND REPAIR ACCESS ISSUE

6

7 **Q. WHAT INTERFACES DOES BELLSOUTH OFFER TO AT&T FOR**  
8 **ACCESS TO MAINTENANCE AND REPAIR FUNCTIONS?**

9 **A.** BellSouth provides two options for electronic trouble reporting. For  
10 many (but not all) services associated with a telephone number,  
11 BellSouth offers access to its proprietary Trouble Analysis Facilitation  
12 Interface ("TAFI"). For both telephone number-associated exchange  
13 services and individually designed services, BellSouth provides  
14 electronic trouble reporting through an electronic communications  
15 gateway which BellSouth calls the Electronic Communication Trouble  
16 Administration ("ECTA") gateway. This interface also is referred to as  
17 the Electronic Bonding Interface ("EBI"), particularly in AT&T internal  
18 communications.

19

20 **Q. DO EITHER ECTA OR TAFI PROVIDE AT&T WITH**  
21 **NONDISCRIMINATORY ACCESS TO BELLSOUTH'S OSS FOR**  
22 **MAINTENANCE AND REPAIR FUNCTIONS?**

1   **A.**    No. For services associated with a telephone number, TAFI has more  
2           extensive functionality than ECTA, but TAFI is a human-to-machine  
3           interface. Consequently, when an ALEC submits a trouble report via  
4           TAFI, that order must be manually entered into the ALEC's own  
5           internal OSS. ECTA, on the other hand, is a machine-to-machine  
6           interface and can be integrated with an ALEC's own OSS, but it does  
7           not have the functionality of TAFI. Thus, there is no combination of  
8           choices that provides ALECs with nondiscriminatory access to  
9           BellSouth's OSS for maintenance and repair functions. TAFI provides  
10          extensive functionality for many services associated with a telephone  
11          number, but provides no functionality for other services, and also  
12          requires costly and error-prone double entry. While ECTA can be  
13          integrated into ALEC systems, it provides only a limited set of  
14          functionality for any type of service. Obtaining and operating both  
15          interfaces simply brings the ALEC the disadvantages of both with no  
16          gain in effectiveness or efficiency and at a higher cost of operations.  
17          These choices are inconsistent with the requirements of the Act and  
18          the needs of competitors.

19  
20   **Q.**    **BELLSOUTH USES TAFI IN ITS RETAIL OPERATIONS. DOESN'T**  
21           **ALLOWING ALECS ACCESS TO TAFI PROVIDE THEM WITH THE**  
22           **SAME FUNCTIONALITY THAT BELLSOUTH ENJOYS?**

1    **A.**    No. ALECs cannot integrate TAFI with their own “back office” systems  
2           as BellSouth does. When a BellSouth customer service  
3           representative creates a trouble ticket using TAFI, the system creates  
4           a record of the transaction that can be accessed and viewed from  
5           BellSouth’s internal systems. An ALEC customer service  
6           representative, on the other hand, must perform this process twice in  
7           order to create an internal record of any trouble transaction: once in  
8           TAFI and again within the ALEC’s own system.

9  
10          BellSouth itself noted its superior ability to utilize TAFI functions in its  
11          second Louisiana 271 application before the FCC. The FCC took  
12          significant notice of BellSouth’s concession:

13                 “We also note that BellSouth concedes that it  
14                 derives superior integration capabilities from TAFI  
15                 than the capabilities offered to competitors.  
16                 BellSouth states that TAFI is a ‘human to machine  
17                 interface’ meaning that new entrants using TAFI  
18                 cannot integrate it with the new entrant’s own  
19                 back office systems....BellSouth, on the other  
20                 hand, is able to take advantage of its own TAFI  
21                 system’s capability of ‘automatically interacting  
22                 with other systems as appropriate’ and its  
23                 customer service representatives need not

1 duplicate their efforts in the same way. In other  
2 words, TAFI is integrated with BellSouth's other  
3 back office systems."

4 FCC Second Louisiana Order, ¶ 151, emphasis added.

5

6 **Q. WHY IS A FULL FUNCTION MACHINE-TO-MACHINE**  
7 **MAINTENANCE AND REPAIR INTERFACE NECESSARY?**

8 **A.** If ALECs hope to compete with BellSouth, they must provide equal or  
9 better customer service and lower prices. ALECs must be able to  
10 efficiently access all of an individual customer's data on every call in  
11 order to address that customer's needs. Therefore ALECs must be  
12 able to access their own data as well as ILEC data. For example, if an  
13 ALEC wants to issue credits to a customer who had experienced  
14 recurring repairs, it would need access to billing data and  
15 maintenance histories. If the ALEC needed to determine whether a  
16 customer was being billed for specific services, it would need access  
17 to information about which services were billed and which services  
18 were provided, and also would need the ability to change the services  
19 being provided if they did not match the services billed to that  
20 customer. ALECs must be able to add or change services and adjust  
21 calling plans for customers, and require access to customer service  
22 record information to keep contact information up-to-date.

23

1 A full-function, machine-to-machine interface is essential in a  
2 competitive market. With a successful market entry, maintenance and  
3 repair volumes will increase quickly. Approximately 4% of lines will  
4 need repair treatment monthly. Customer contacts to service existing  
5 lines can be expected to occur on 6% of lines each month. Within 30  
6 months of a successful consumer market entry, an ALEC can expect  
7 one third of its total customer contacts to be for repair and  
8 maintenance. AT&T's repair call volume 30 months after a successful  
9 market entry across the BellSouth states easily could approach  
10 60,000 calls per month. Without a full function machine-to-machine  
11 interface, an ALEC must engage in dual entry of its repair contacts,  
12 entering the contact into BellSouth's system as well as its own. Dual  
13 entry must occur while the customer is on-line for the ALEC to provide  
14 efficient customer service. Dual entry is more time consuming and  
15 results in more mistakes, requiring more service representatives.  
16 Additionally the lack of a full function machine-to-machine interface  
17 deprives the ALEC of performance information essential to the  
18 management of its service representatives. Use of an interface like  
19 TAFI that requires dual entry and is not integrated with the ALEC's  
20 own OSS means that the ALEC will not have real time access to call  
21 volume and connect time data required for efficient staffing.

22

1 **Q. HAS AT&T EVER REQUESTED THAT BELLSOUTH PROVIDE**  
2 **FULL TAFI FUNCTIONALITY OVER THE ECTA INTERFACE?**

3 **A.** Yes. Since April 1996, AT&T consistently has requested BellSouth to  
4 provide access to TAFI functionality through a machine-to-machine  
5 interface like ECTA. Exhibit JMB-24 is a copy of AT&T's Ex Parte  
6 letter to the FCC following a meeting on December 23, 1998, with  
7 members of the Common Carrier Bureau Staff, and representatives  
8 from MCI, BellSouth, and AT&T (hereinafter "AT&T 12/23/98 Ex  
9 Parte"). AT&T's initial request to BellSouth is at Tab C-4. Exhibit  
10 JMB-25 visually depicts AT&T requested arrangement.

11

12 Initially, BellSouth agreed to AT&T's request. In its preliminary report  
13 to the Georgia PSC on OSS interfaces dated June 21, 1996, (page  
14 15), BellSouth stated that it "has investigated the possibility of adding  
15 to the existing [EBI] gateway a system called . . . TAFI." Exhibit JMB-  
16 24, Tab C-6. In response to BellSouth's preliminary report, the  
17 Georgia PSC ordered BellSouth to complete "the TAFI enhancements  
18 to allow full operation of the required access by March 31, 1997."  
19 Georgia PSC Order, Docket No. 6352-U (July 2, 1996). Exhibit JMB-  
20 24, Tab C-7. Despite the Georgia PSC's order, BellSouth has never  
21 provided those enhancements.

22

1 AT&T has pursued its request at every opportunity available to it since  
2 April of 1996. The chronology at Exhibit JMB-24, Tab C-1 reflects  
3 those efforts through April 3, 1998. Even though BellSouth's  
4 representatives have agreed on numerous occasions that providing  
5 TAFI functionality over the ECTA interface is possible and a goal  
6 worth pursuing (see Exhibit JMB-23, Tab C-14 for the testimony and  
7 transcript of William N. Stacy before the Georgia PSC in March 1998)  
8 no development activity ever occurred.

9  
10 The December 23, 1998, meeting which gave rise to the materials in  
11 Exhibit JMB-24, was requested by the FCC Staff after the publication  
12 of the Second Louisiana Order to increase its understanding of the  
13 need for integrateable machine-to-machine interfaces for repair and  
14 maintenance. The FCC Staff's written request for a meeting posed  
15 specific questions; AT&T's answers and supporting diagrams may be  
16 found in Exhibit JMB-24, Tab A and Tab B. During the course of this  
17 meeting, BellSouth's representative, Mr. William N. Stacy, stated that  
18 BellSouth could provide initial functionality in 13 months and complete  
19 functionality in 18 months. Nearly two years after this meeting,  
20 however, BellSouth still offers no TAFI functionality via the ECTA  
21 interface.

22

1 Most recently, AT&T submitted a formal change request through the  
2 Interim Change Control Process on April 18, 2000, asking for TAFI  
3 functionality via the ECTA interface. AT&T does not believe that its  
4 recent formal request was required, however, because of BellSouth's  
5 long standing and pre-existing knowledge of the issue.

6

7 **Q. HAS BELLSOUTH TAKEN ANY ACTION TOWARD ADDRESSING**  
8 **AT&T'S CHANGE REQUEST?**

9 **A.** No. However, BellSouth announced a number of what it called  
10 "Updates to Maintenance Interfaces" to the ALEC community during  
11 the October 25, 2000 Change Control Process Monthly Status  
12 Meeting. During this meeting Mr. Gene Piatkowski discussed "DLEC  
13 TAFI", "CPSS-TS", and "E Repair". No written materials were  
14 provided to support Mr. Piatkowski's presentation.

15

16 **Q. CAN YOU BRIEFLY SUMMARIZE THE PRESENTATION?**

17 **A.** Yes. The functionality in DLEC TAFI was originally developed to  
18 support BellSouth's use of its retail ADSL product line. BellSouth now  
19 plans to make it available to ALECs and DLECs to support repair and  
20 maintenance of XDSL and line sharing for high speed data. The retail  
21 version has apparently been internally available to BellSouth for some  
22 time but is only now being demonstrated to A/DLECs. The CLEC

1 TAFI User Guide issued in September 2000 contains a description of  
2 DLEC TAFI in Chapter 14.

3

4 CPSS-TA (Circuit Provisioned Special Services – Trouble Analysis) is  
5 a graphical user interface (GUI) that can be used to enter designed  
6 service troubles into Work Force Administration (WFA). BellSouth  
7 apparently developed the interface based on interest from small IXC  
8 and will now offer it to ALECs as well. It was stated that CPSS-TA  
9 would be piloted with IXCs. No firm date for production availability  
10 was provided.

11

12 E-Repair apparently is being designed initially to allow BellSouth's  
13 large retail business customers to view the status of trouble reports  
14 filed on their services. Development apparently is well along, and a  
15 pilot with large retail business customers is expected to begin in  
16 January 2001. ALECs also will be able to use this initial capability to  
17 view the status of their previously entered trouble reports (currently  
18 they must call BellSouth for status information). Mr. Piatkowski  
19 reports that E-Repair is being designed for a much broader future  
20 scope, to be implemented in stages. Phase I will provide the status-  
21 only use described above. Phase II will eventually add entry and  
22 viewing of all non-designed and designed service troubles. BellSouth

1 stated there would likely be a migration from TAFI and CPSS to E-  
2 Repair.

3

4 **Q. WHY ARE THESE ANNOUNCEMENTS SIGNIFICANT?**

5 **A.** Although AT&T hopes that the future capabilities discussed in these  
6 announcements will become useful and meaningful improvements in  
7 the maintenance and repair functionalities available to ALECs, it is  
8 both surprising and disappointing that BellSouth elected to pursue  
9 these projects without discussing them with the ALEC community that  
10 will use them. As I explained above, AT&T has a long-standing  
11 request for a full-function maintenance and repair interface, and has  
12 been negotiating in good faith with BellSouth regarding this issue for  
13 over a year, yet BellSouth failed to raise these projects as a possible  
14 solution.

15

16 Incidentally, BellSouth has failed to comply with the requirements of its  
17 Change Control Process in announcing these interfaces. No written  
18 description of the interfaces discussed was provided to the Bellsouth  
19 Change Control Manager for distribution to the ALECs in advance of  
20 the monthly status meeting and the agenda indicated under the Open  
21 Discussion section "Updates to Maintenance Interfaces" rather than a  
22 presentation on new interfaces. Thus it was impossible for the ALECs  
23 to participate in the discussion intelligently. Further subsequent to the

1 meeting, BellSouth has not provided any specifications associated  
2 with the new interfaces for ALEC review. An informal announcement  
3 to the Change Control Participants is not sufficient to accomplish even  
4 the limited objectives BellSouth recognizes in its language “to identify  
5 interest in the new interface and obtain input from the CLEC  
6 community” (CCP page 48), let alone meet the ALECs business  
7 needs for the timely distribution of information and specifications.  
8

9 **Q. IF BELLSOUTH COMPLETES THE “DLEC TAFI”, “CPSS-TS”, and**  
10 **“E Repair” PROJECTS, WILL IT HAVE FULFILLED AT&T’S**  
11 **REQUEST FOR A FULL-FUNCTION INTEGRATEABLE**  
12 **MAINTENANCE AND REPAIR INTERFACE?**

13 **A.** Without the information identified above that BellSouth has not  
14 provided, it is hard to make any firm determination. However based  
15 upon the oral presentation it seems clear that DLEC TAFI and CPSS-  
16 TA will be human to machine interfaces and that if E-Repair is to  
17 evolve to a full function integratable interface, it will not do so in the  
18 near future (before 2002). Thus, the FCC’s 1998 evaluation of  
19 BellSouth’s maintenance and repair interfaces is still relevant today.  
20

21 **Q. WHAT DID THE FCC CONCLUDE REGARDING BELLSOUTH’S**  
22 **MAINTENANCE AND REPAIR INTERFACES?**

1    **A.**    The FCC examined TAFI and ECTA in BellSouth's last 271  
2            application, and concluded that neither provides competitors with OSS  
3            functionalities equivalent to BellSouth's own capabilities. FCC  
4            Louisiana II Order ¶ 148.

5  
6            Regarding TAFI, the FCC concluded that TAFI does not provide  
7            nondiscriminatory access because it cannot be used for all types of  
8            orders and because TAFI is a "human to machine interface," meaning  
9            that new entrants cannot integrate it with the new entrant's own back  
10           office systems. FCC Louisiana II Order ¶¶ 149-52. The lack of  
11           integration the FCC describes requires a TAFI user to take information  
12           from the TAFI system and manually re-enter it into their own computer  
13           systems and vice versa. FCC Louisiana II Order ¶152.

14  
15           Regarding ECTA, the FCC concluded that ECTA as provided by  
16           BellSouth does not provide parity to competitors because, as  
17           BellSouth itself pointed out, the legacy system TAFI is superior in  
18           functionality. FCC Louisiana II Order ¶ 157.

19  
20    **Q.    HAS BELLSOUTH IMPROVED THE FUNCTIONALITY OF TAFI**  
21            **AND ECTA IN RESPONSE TO THE FCC'S FINDINGS?**

22    **A.**    No. The FCC's findings are still relevant and valid today.

23

1 **Q. SINCE THE SECOND LOUISIANA ORDER HAS THE FCC**  
2 **ADOPTED A NEW POSITION REGARDING THE NEED FOR**  
3 **MACHINE-TO-MACHINE INTERFACES FOR MAINTENANCE AND**  
4 **REPAIR?**

5 **A.** No. In February 1999, the FCC Staff addressed the issue in a letter to  
6 BellSouth (Exhibit JMB-26, Page 2), restating the findings of the FCC  
7 in the Louisiana II Order that, "We do not here conclude that TAFI's  
8 lack of integration *per se* fails to constitute nondiscriminatory access,  
9 although we do believe BellSouth would provide a more complete  
10 opportunity to compete if it offered competitive LECs an integrated  
11 system with the same functionalities available to BellSouth's own  
12 service representatives." FCC Louisiana II Order ¶ 152. Additionally,  
13 the Staff provided a list of information that BellSouth would be  
14 required to submit with its next application if it were to attempt to  
15 demonstrate that it was providing nondiscriminatory maintenance and  
16 repair without a machine-to-machine interface. BellSouth has not  
17 attempted to make such a demonstration in this arbitration. The Staff  
18 further indicated that it would seek additional information to assess the  
19 competitive impact resulting from the lack of a machine-to-machine  
20 interface. AT&T participated in such an information-gathering meeting  
21 with the Staff on February 17, 1999. Exhibit JMB-27 is AT&T's Ex  
22 Parte letter associated with that meeting and includes the handouts  
23 from AT&T's presentation.

1           Until such time as BellSouth presents its next 271 Application to the  
2           FCC, the findings of the Louisiana II Order accurately describe the  
3           discriminatory nature of the maintenance and repair interfaces  
4           BellSouth is offering to AT&T. This Commission should order to  
5           BellSouth to provide full TAFI functionality via the ECTA interface on  
6           an expedited schedule.

7

8   **Q.    WHAT DOES AT&T REQUEST THAT THE COMMISSION ORDER**  
9   **REGARDING THIS ISSUE?**

10 **A.**   AT&T asks the Commission to order BellSouth to provide full TAFI  
11       functionality via the ECTA interface, or a another integratable  
12       machine-to-machine interface on an expedited schedule within 12  
13       months of its Order.

14

15

**SUMMARY**

16 **Q.    PLEASE SUMMARIZE YOUR TESTIMONY.**

17 **A.**   BellSouth must provide nondiscriminatory access to its OSS in order  
18       to comply with Section 251 of the Act and the implementing rules of  
19       the FCC. In addition to computer-based systems and databases,  
20       nondiscriminatory access to OSS includes any manual processes  
21       required in conjunction with or in the absence of such systems and  
22       capabilities.

23

1 BellSouth has not offered a resolution to the Footprint-OS/DA Issue,  
2 the Equivalent Functionalities Issue or the Maintenance and Repair  
3 Access Issue that would provide AT&T with the same functionalities  
4 that BellSouth provides itself through its various OSS. BellSouth thus  
5 has been unwilling to provide AT&T with nondiscriminatory access.  
6 Likewise, BellSouth's offered Electronic Interface Change Control  
7 Process and proposed Interim Change Control Process are  
8 insufficient under the Act and current FCC guidance. BellSouth does  
9 not provide customized routing through a commercially viable, timely,  
10 repeatable process and thus is not entitled to charge for OS/DA using  
11 market based rates.

12

13 BellSouth's ordering/provisioning interfaces do not provide AT&T with  
14 sufficient functionality. AT&T cannot submit flow-through electronic  
15 orders for the arrangements necessary to route a specific customer's  
16 operator services or directory assistance calls to either BellSouth's  
17 service platform on an unbranded basis or to another service platform  
18 of AT&T's choosing.

19

20 BellSouth fails to provide a key pre-ordering element, the Customer's  
21 Service Record electronically in a parsed manner suitable for  
22 automated integration into AT&T's OSS, which would allow for

1 automated error-free population of many required fields of a Local  
2 Service Request.

3

4 AT&T cannot electronically order the same range of retail services as  
5 BellSouth and can electronically order only a handful of network  
6 elements. Further, for a significant portion of electronically submitted  
7 orders, BellSouth subsequently performs manual processing of  
8 AT&T's orders that is not required to process BellSouth's orders for  
9 the same services and elements. BellSouth's excessive reliance upon  
10 manual ordering and provisioning processes significantly  
11 disadvantages AT&T in its attempt to enter the local market using  
12 either network elements or its own facilities.

13

14 BellSouth's maintenance and repair interfaces (EBI/ECTA and TAFI)  
15 do not provide AT&T with nondiscriminatory access. EBI/ECTA is a  
16 machine-to-machine interface that lacks the requisite functionality.  
17 TAFI, on the other hand, has adequate functionality but is a human-to-  
18 machine interface. AT&T has requested that BellSouth provide  
19 access to TAFI functionality through EBI/ECTA, which should provide  
20 better access to BellSouth's OSS for maintenance and repair  
21 functions. BellSouth has agreed that such access is technically  
22 feasible but has not committed to an implementation date.

23

1 Finally, the Commission should order BellSouth to provide a  
2 comprehensive Change Control Process, with "cradle to grave"  
3 coverage of the life cycle of an interface or process (electronic or  
4 manual) and its supporting documentation (such as specifications,  
5 business rules, methods, and procedures). The evolving CCP is  
6 lacking in coverage of many critical areas.

7

8 For these reasons and the reasons explained above, I recommend  
9 this Commission find that BellSouth's OSS interfaces offered through  
10 negotiation do not comply with the provisions of Section 251 of the Act  
11 and recommend that this Commission adopt AT&T's proposed  
12 Interconnection Agreement language for issues 23, 25, 30, 31, and  
13 32.

14

15 **Q. DOES THAT COMPLETE YOUR TESTIMONY AT THIS TIME?**

16 **A.** Yes.

17

18

19

20

21

22

23

1 **STATE OF FLORIDA )**

2 **: CERTIFICATE OF REPORTER**

3 **COUNTY OF LEON )**

4

5 **I, JANE FAUROT, RPR, Chief, FPSC Bureau of Reporting**  
6 **FPSC Commission Reporter, do hereby certify that the**  
7 **Hearing in Docket No. 000731-TP was heard by the Florida**  
8 **Public Service Commission at the time and place herein stated.**

7

8 **IT IS FURTHER CERTIFIED that I stenographically**  
9 **reported the said proceedings; that the same has been**  
10 **transcribed under my direct supervision; and that this**  
11 **transcript, consisting of 197 pages, Volume 2 constitutes a**  
12 **true transcription of my notes of said proceedings and the**  
13 **insertion of the prescribed prefiled testimony of the**  
14 **witnesses.**

11

12 **I FURTHER CERTIFY that I am not a relative, employee,**  
13 **attorney or counsel of any of the parties, nor am I a relative**  
14 **or employee of any of the parties' attorney or counsel**  
15 **connected with the action, nor am I financially interested in**  
16 **the action.**

14

**DATED THIS 26TH DAY OF FEBRUARY, 2001.**

15

16



17

**JANE FAUROT, RPR**  
**FPSC Division of Records & Reporting**  
**Chief, Bureau of Reporting**  
**(850) 413-6732**

18

19

20

21

22

23

24

25

