

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 000121-TP

In the Matter of:

INVESTIGATION INTO THE
ESTABLISHMENT OF OPERATIONS
SUPPORT SYSTEMS PERMANENT
PERFORMANCE MEASURES FOR
INCUMBENT LOCAL EXCHANGE
TELECOMMUNICATIONS COMPANIES.



ELECTRIC VERSIONS (WORDPERFECT AND PDF
FORMAT) OF THIS TRANSCRIPT ARE CONVENIENCE
COPIES ONLY AND NOT THE OFFICIAL TRANSCRIPT.
THE WORDPERFECT VERSION OF THE TRANSCRIPT
DOES NOT CONTAIN PREFILED TESTIMONY

VOLUME 6
PAGES 941 THROUGH 1124

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN E. LEON JACOBS, JR.
COMMISSIONER J. TERRY DEASON
COMMISSIONER LILA A. JABER
COMMISSIONER BRAULIO L. BAEZ
COMMISSIONER MICHAEL A. PALECKI

DATE: Friday, April 27, 2001

TIME: Commenced at 9:30 a.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT,
Official FPSC Reporter

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER-DATE

05531 MAY-26

FPSC RECORDS REPORTING

I N D E X
WITNESSES

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

| NAME: | PAGE NO. |
|--------------------------------------|-----------------|
| CHERYL BURSH | |
| Direct Examination by Mr. Prescott | 944 |
| Prefiled Direct Testimony Inserted | 988 |
| Prefiled Rebuttal Testimony Inserted | 988 |
| Cross Examination by Mr. Carver | 1017 |
| Cross Examination by Mr. Fudge | 1043 |
| Redirect Examination by Mr. Prescott | 1057 |
| ROBERT MICHAEL BELL | |
| Direct Examination by Mr. Prescott | 1059 |
| Prefiled Direct Testimony Inserted | 1061 |
| Prefiled Rebuttal Testimony Inserted | 1076 |
| Cross Examination by Mr. McGlothlin | 1087 |
| Cross Examination by Mr. Lackey | 1094 |
| Cross Examination by Mr. Fudge | 1104 |
| Redirect Examination by Mr. Prescott | 1121 |

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

| NUMBER: | | ID. | ADMTD. |
|----------------|--|------------|---------------|
| 25 | CLB-1 through CLB-3 | 946 | 1058 |
| 26 | (Late-Filed) ALEC Penalty Plan for Covad Examples | 1045 | |
| 27 | RMB-1 and RMB-2 | 1123 | 1123 |

PROCEEDINGS

1
2 (Transcript follows in sequence from
3 Volume 5.)

4 CHAIRMAN JACOBS: Good morning. We'll go ahead and get
5 started. The first witness is up. Good morning.

6 Mr. Prescott.

7 - - - - -

8 CHERYL BURSH

9 was called as a witness on behalf of AT&T Communications of the
10 Southern States, Inc., and, having been duly sworn, testified as
11 follows:

DIRECT EXAMINATION

12
13 BY MR. PRESCOTT:

14 Q Good morning.

15 A Good morning.

16 Q Would you please state your name and address, please.

17 A My name is Cheryl Bursh, and my address is 1200
18 Peachtree Street, Atlanta, Georgia 30309.

19 Q And how are you employed? Where are you employed?

20 A I am employed with AT&T Communications of the Southern
21 States, Incorporated.

22 Q And in what capacity are you employed?

23 A District Manager in Law and Government Affairs.

24 Q Ms. Bursh, did you cause to be prepared and filed 41
25 pages of direct testimony and 24 pages of rebuttal testimony in

1 this proceeding?

2 A Yes.

3 Q Do you have any changes or corrections to make to your
4 prefiled direct testimony?

5 A Yes, I do. The changes, proposed changes have --

6 Q Would you explain the changes?

7 A -- been passed out. The changes pertain to Exhibit
8 CLB-11, Section G, or Attachment G. On Page 46, if you look down
9 the table, the dollar amount that corresponds to 1.0 is 0. Also
10 on Page 48, the dollar amount that corresponds with 95.0 percent
11 is 0. And if you turn to Page 52, 92.5 percent corresponds to 0
12 dollars. And each of those changes have been highlighted.

13 Q With those changes and corrections, if asked the same
14 questions today would your answers be the same?

15 A Yes, they would.

16 MR. PRESCOTT: Commissioner, I would ask that the
17 testimony be entered into the record as if read.

18 CHAIRMAN JACOBS: Without objection show the direct and
19 rebuttal testimony of Ms. Bursh is entered into the record as
20 though read.

21 BY MR. PRESCOTT:

22 Q Ms. Bursh, were there attached to your direct testimony
23 three exhibits labeled 3LB-1 through 3LB-3?

24 A Yes.

25 Q And did you have any exhibits attached to your rebuttal

1 testimony?

2 A No, I did not.

3 Q Have you prepared a summary of your testimony?

4 A Yes, I have.

5 Q Would you please --

6 CHAIRMAN JACOBS: Do you want to go ahead and mark
7 those exhibits? We will mark those as Composite Exhibit 25.

8 MR. PRESCOTT: Okay.

9 (Composite Exhibit 25 marked for identification.)

10 CHAIRMAN JACOBS: You may proceed.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 **A.** My name is Cheryl Bursh. My business address is 1200 Peachtree
3 Street, Atlanta, Georgia.

4

5 **Q. PLEASE DESCRIBE YOUR PROFESSIONAL AND EDUCATIONAL**
6 **BACKGROUND.**

7 **A.** I am employed by AT&T as a Senior Policy Witness. My area of
8 expertise is the development of an effective methodology for
9 measuring BellSouth's performance in providing services to ALECs.
10 My responsibilities include developing Performance Measurements
11 testimony and affidavits for regulatory proceedings, as well as
12 representing AT&T in performance measurements workshops and
13 hearings, including those held in Georgia, Louisiana, Florida, and
14 North Carolina. I have held a variety of management positions at
15 AT&T over the last 19 ½ years, including the sale of large business
16 systems and telecommunications services, systems development for
17 operation support systems, and product marketing and technical
18 support for computer systems. I have a Bachelor of Science Degree
19 from Johnson C. Smith University and a Master of Science Degree
20 from George Washington University.

21

22

23

1 **Q. PLEASE SUMMARIZE YOUR TESTIMONY.**

2 **A.** My testimony focuses on the ALEC Coalition's Joint Performance
3 Incentive Plan that is designed to ensure that ALECs receive the level
4 of service from BellSouth that will enable them to successfully
5 compete in the provision of local telephone service in Florida. I
6 describe why the remedy plan proposed by the ALECs is the
7 appropriate plan for this Commission to adopt in order to ensure that
8 (1) BellSouth is providing service to ALECs that is in parity with that it
9 provides to its own retail operations and affiliates, (2) the telephone
10 industry in Florida is open to competition in the provision of local
11 service, and (3) Florida's telephone industry remains open to
12 competition in the event BellSouth obtains 271 approval. Specifically,
13 my testimony covers Issues 2.A, 2.B, 3.A, 3.B, 4.A, 4.B., 4.C, 5.A,
14 5.B, 6.A, 6.B, 7, 8, 9, 10, 11.A, 11.C.3 – 5, 12.A, 12.C.3 – 5, 13, 14.A,
15 14.B, 15, 16, 17, 18, 19.A, 19.B, 20, 21, 22 & 23 .

16

17 **Q. WHAT DO YOU MEAN BY SELF-EXECUTING PERFORMANCE**
18 **REMEDIES?**

19 **A.** Self-executing remedies are monetary and non-monetary
20 consequences that are automatically triggered against BellSouth
21 upon an objective demonstration that BellSouth has failed to provide
22 service at the level required by a specific performance standard.

23

1 **ISSUE 8: WHEN SHOULD THE PERFORMANCE**
2 **ASSESSMENT PLAN BECOME EFFECTIVE?**

3

4 **Q. WHY IS THERE A NEED FOR A REMEDIES PLAN?**

5 **A.** The ALECs believe that the only way for BellSouth to establish that its
6 local market is irreversibly open to competition as required by the
7 Telecommunications Act of 1996 (the "Act"),¹ is by demonstrating that
8 it provides ALECs with non-discriminatory access to its services and
9 facilities. BellSouth's level of performance is determined through the
10 use of a set of comprehensive measures. A remedies plan is needed
11 to incent BellSouth and any other Incumbent Local Exchange Carrier
12 ("ILEC") to provide nondiscriminatory service to ALECs, to enforce the
13 market opening provisions of Section 251 of the Act,² and also to
14 prevent any deterioration in BellSouth's provision of service to ALECs
15 subsequent to Section 271 approval.³

16

17 **Q. IS A PERFORMANCE INCENTIVE PLAN NECESSARY FOR**
18 **OPENING LOCAL MARKET?**

¹ 47 U.S.C Section 251 c (2) c and (d).

² In order to enforce the market opening provisions of Section 251 Texas, Pennsylvania, and Massachusetts have implemented self-executing remedy plans that became effective prior to an ILEC obtaining 271 approval.

³ See Application by Bell Atlantic New York for Authorization Under Section 271 of the Communications Act To Provide In-Region InterLATA Service in the State of New York, Memorandum Opinion And Order, (BA-NY Order) Federal Communications Commission, CC Docket No. 99-295, para. 429.

1 **A.** Yes. Self-enforcing consequences are equally useful in assuring the
2 251 requirements relating to non-discrimination are met, regardless of
3 whether a section 271 application has been made or approved. With
4 respect to performance measures, it is reasonable to presume that the
5 performance measurements that provide the basis for self-enforcing
6 consequences be consistent with those employed for evaluating a
7 Section 271 application.

8

9 **Q. WHY ARE REMEDIES IMPORTANT TO ENSURING LOCAL**
10 **COMPETITION?**

11 **A.** Remedies are important to ensuring local competition because
12 BellSouth is in the unique position of being the main supplier of
13 services to ALECs and also their main competitor. As the testimony of
14 the ALECs demonstrates, BellSouth has the capability to seriously
15 affect an ALEC's ability to enter the local market and successfully
16 serve its customers. BellSouth has much to gain by providing poor
17 service to ALECs. Therefore, a remedy structure must be established
18 which makes it more economical for BellSouth to cooperate and
19 provide quality service, than to discriminate against competing
20 providers to the detriment of local competition.

21 Developing appropriate performance standards is only the first step to
22 ensuring that ALECs receive parity service from BellSouth as required
23 by the Act. If there is no incentive for BellSouth to abide by the

1 performance standards, then those standards are useless. The
2 remedies provide the incentive for BellSouth to comply. Therefore,
3 remedies must be significant enough to ensure that it is more
4 beneficial for BellSouth to comply with the performance standards
5 than to pay the remedies for non-compliance. If remedies are not
6 sufficient to incent BellSouth to provide ALECs parity service,
7 sufficient competition will not develop and BellSouth will continue to
8 hold a monopoly in the local telephone market in Florida.

9

10 **Q. WHAT PRINCIPLES DO THE ALEC COALITION CONTEND ARE**
11 **THE FOUNDATION OF AN EFFECTIVE REMEDIES PLAN?**

12 **A.** There are several principles that the ALEC Coalition contend provide
13 the foundation of an effective remedies plan. They are:

14 1. Remedies must be set at a level high enough to incent
15 BellSouth to meet its obligations under the Act to provide
16 nondiscriminatory access to services and facilities. The ALECs' plan
17 provides for remedies for poor performance that increase with the
18 level of ALEC activity. The ALECs' plan is "scalable" according to the
19 size of the market in the state. Under the ALECs' plan, the more harm
20 that is done to competition, the greater the remedy payment.

21 2. Enforcement mechanisms must not produce remedies so large
22 that an ALEC is more desirous of receiving discriminatory

1 performance and collecting large remedies than receiving non-
2 discriminatory performance.

3 3. The structure of a remedies plan should be based on a verified
4 (audited) system with verifiable data and processes. There should be
5 a thorough audit of the performance measurements system by a
6 recognized neutral party who utilizes a disclosed and industry-
7 reviewed methodology before it is officially implemented for the
8 industry. For example, there should be a validation of BellSouth's
9 processes and systems used for data collection, reporting, storage,
10 and retrieval. An effective plan should provide reasonable assurances
11 that the reported data is accurate. See BA-NY Order, at ¶433.

12 4. Remedies must be self-executing – no delay, no expense to the
13 harmed ALEC; no litigation required to invoke remedies. ALECs
14 should not be required to undergo costly and time-consuming litigation
15 when the performance measurement systems shows discrimination.
16 The FCC has stated that an effective enforcement plan shall "have a
17 self-executing mechanism that does not leave the door open
18 unreasonably to litigation and appeal." See BA-NY Order, at ¶433.

19 5. Remedies must escalate according to the duration and
20 magnitude of poor performance.

21 6. The remedies plan should be structured so that it is simple to
22 implement and administer. This is especially important in light of the
23 complexity of BellSouth's proposal.

1 7. Interest must accumulate on monetary payments that are not
2 paid in accordance with the remedies plan.

3

4 **Q. DO THE ALECS HAVE A JOINT PROPOSAL FOR REMEDIES IN**
5 **FLORIDA THAT MAKE IT MORE ECONOMICAL FOR BELL SOUTH**
6 **TO PROVIDE COMPLIANT SUPPORT THAN TO DISCRIMINATE**
7 **AGAINST COMPETING PROVIDERS?**

8 **A.** Yes. That proposal, the Performance Incentive Plan, Version 2.0, is
9 attached to this testimony as Exhibit CLB-1. By adopting the
10 Performance Incentive Plan, this Commission can be assured that
11 there is a sound remedy plan in place to protect the end user - the
12 Florida consumer. This remedy plan will also assist in the rapid and
13 sustainable development of a competitive local telecommunications
14 market in Florida.

15

16 **Q. DOES THE FLORIDA PUBLIC SERVICE COMMISSION STAFF**
17 **HAVE ANY REMEDY PLAN PREFERENCE?**

18 **A.** No. Paul Stallcup stated that it was not his intent in preparing the
19 Strawman Proposal to express any preference for a particular remedy
20 plan. He conveyed that he was merely attempting to provide a
21 conceptual framework for the parties to identify issues and make their
22 case about how different components of the plan should be
23 specified. (Stallcup Deposition, pp. 8-10)

1 **ISSUE 2A: WHAT ARE THE APPROPRIATE ENFORCEMENT**
2 **MEASURES TO BE REPORTED BY BELL SOUTH FOR TIER I AND**
3 **TIER II?**

4
5 **ISSUE 2B: WHAT ARE THE APPROPRIATE LEVELS OF**
6 **DISSAGREGATION FOR COMPLIANCE REPORTING?**

7
8 **ISSUE 9: WHAT ARE THE APPROPRIATE ENFORCEMENT**
9 **MEASUREMENT BENCHMARKS AND ANALOGS?**

10
11 **ISSUE 11.A: WHAT IS THE APPROPRIATE METHODOLOGY**
12 **THAT SHOULD BE EMPLOYED TO DETERMINE IF BELL SOUTH**
13 **IS PROVIDING COMPLIANT PERFORMANCE TO AN INDIVIDUAL**
14 **ALEC? (TIER I)**

15
16 **Q. DESCRIBE THE STRUCTURE OF THE ALECS' PROPOSED**
17 **REMEDIES PLAN.**

18 **A.** Generally, the ALEC Plan is structured to evaluate, (1) the quality of
19 service BellSouth delivers to each individual ALEC as compared to its
20 own retail operations, and (2) the quality of service BellSouth delivers
21 to the ALEC industry as a whole when compared to its own retail
22 operations.

1 In the ALEC Plan, BellSouth's service to ALECs and to its own retail
2 operations is gauged using a comprehensive set of performance
3 measurements, referred to in the Plan as "sub-measures." These
4 sub-measures cover the full panoply of BellSouth's activities that
5 ALECs must rely upon in order to deliver their retail service offerings
6 in the local market place. Every sub-measure is designed to identify
7 and measure a key area of activity that affects ALEC and BellSouth
8 customers, and consequently, the development of competition in
9 Florida's local telecommunications market. In order for the
10 Commission and ALECs to monitor BellSouth's performance for a
11 particular sub-measure, and impose remedies in a case where
12 BellSouth performance is discriminatory, any remedy plan must first
13 set performance standards that will be used to determine whether
14 BellSouth's performance is compliant.

15 The performance standard for each sub-measures included in the
16 ALEC remedy plan are divided into two categories, retail analogs and
17 benchmarks. Retail analogs are for those measures for which the
18 performance standard requires BellSouth to provide service to ALECs
19 that is in parity with service it provides to its own retail operations. In
20 order to make a parity determination, a retail analog is established for
21 each submeasure being compared. A direct comparison is then made
22 between BellSouth's performance data for its retail operations and an

1 ALEC's performance data. A statistical methodology is then used to
2 determine if any observed differences in the data are significant.
3 The ALEC Plan advocates the use of the modified Z-statistic to
4 determine whether BellSouth's performance is parity with the analog
5 set for a particular sub-measure. Dr. Bell's direct testimony will
6 addresses the details of the statistical methodology in the ALEC Plan.
7 There is no statistical test needed or applied to measures using a
8 benchmark as the performance standard. Measures for which the
9 performance standard is a benchmark require BellSouth to meet an
10 absolute level of required performance. For example, if a benchmark
11 for a particular order requires BellSouth to complete ninety-five
12 percent of the orders within 3 days, but BellSouth completed only
13 seventy percent of the orders for a given month in 3 days only,
14 BellSouth's performance would not be compliant.

15 The measures proposed in the ALEC remedy plan are set forth in of
16 the direct testimony of Karen Kinard (including disaggregation,
17 benchmarks and retail analogs). In the ALEC Plan, because the sub-
18 measures monitor key areas of ALEC and BellSouth activity, all sub-
19 measures proposed by the ALECs are included in the determination of
20 remedy payments.

21 Remedy consequences for discriminatory performance by BellSouth
22 or any other ILEC operate on two tiers. Tier I addresses the
23 consequences for non-compliant performance delivered to an

1 individual ALEC. Tier I remedies are paid to the individual ALECs for
2 the harm suffered by the ALEC and its customers. Under Tier I of the
3 ALEC Plan, however, remedies are only generated for an individual
4 ALEC if that ALEC's business activity touches upon a particular sub-
5 measure. For example, an ALEC who does not sell port and loop
6 combinations (UNE P) would not have compliance determinations
7 made for the submeasure Missed Installation Appointment – UNE P.
8 Tier II addresses the consequences for non-compliant performance
9 delivered to the ALEC industry as a whole. Tier II remedies are paid
10 to the state for harm done to the competitive market and consumers
11 as a whole.

12

13 **Q. SHOULD REMEDIES APPLY TO PERFORMANCE MEASURES**
14 **THAT ARE SHOWN TO BE DUPLICATIVE OF OR “HIGHLY**
15 **CORRELATED” WITH OTHER MEASURES?**

16 **A.** No. However, data and methods are lacking to omit any measures at
17 this time. The decision whether or not to apply a remedy depends on
18 the strength of the correlation between measures. Because two
19 measures appear to be similar does not mean they are duplicative or
20 correlated enough to warrant exclusion of either. An analysis of the
21 performance data is required to make a determination. The data-
22 dictated degree of correlation will determine whether remedies are
23 appropriate. Without data, there cannot be any correlation

1 determination. If a thorough and appropriate data investigation
2 discloses that two measures are highly correlated, then they are in
3 effect measuring the same thing. In this case, applying penalties to
4 each of them could double the consequences and remedies are not
5 appropriate for both measures. If the correlation is determined to be
6 small to moderate, the metrics are not measuring the same thing and
7 remedies should apply. An industry-developed correlation analysis
8 should be developed to make valid correlation determinations.

9

10 **Q. HAS AN INDUSTRY-DEVELOPED CORRELATION TEST BEEN**
11 **APPLIED TO MEASURES RECOMMENDED IN THE STAFF**
12 **TESTIMONY OR MEASURES SPECIFIED IN BELL SOUTH'S SQM?**

13 **A.** No. The industry (ALECs, BellSouth & FL PSC) has not agreed upon
14 or implemented correlation tests to assess the possibility of correlation
15 of BellSouth measures in Florida. Currently, there is no agreed upon
16 basis for exempting measures from remedies due to correlation.
17 Therefore, any comments relating to measure overlap are non-
18 substantiated and it is premature to exclude any measures from the
19 remedy plan based on claims that the excluded measure is correlated.
20 An industry-developed correlation analysis needs to be developed and
21 implemented.

22

1 **Q. SHOULD REMEDIES APPLY TO MEASURES THAT REFLECT**
2 **MANUAL AND PARTIALLY MECHANIZED PROCESSING**

3 **A.** Yes. Discriminatory performance can occur no matter what the level
4 of mechanization. Manual orders can represent key aspects of a
5 ALEC's business. Moreover, in some cases, for example, some xDSL
6 services, and other UNEs, or branded OS/DA, etc. ALECs have no
7 choice but to use non-mechanized ordering. BellSouth should not be
8 able to discriminate against an ALEC who uses non-mechanized
9 ordering. Accordingly, remedies should be applied to sub-measures
10 that report on manual and partially mechanized order processing.

11

12 **Q. WHAT IS DISAGGREGATION?**

13 **A.** Disaggregation is the process of breaking down performance data into
14 sufficiently specific categories or dimensions so that like-to-like
15 comparisons can be made. For example, BellSouth retail offerings
16 contain a number of varying products. In order to compare
17 BellSouth's performance for its own retail customers to its
18 performance for ALECs, it is necessary for UNE analog loops product
19 to be compared separately with BellSouth retail POTS product.
20 Therefore, appropriate disaggregation which compares like-to-like is
21 an essential component to a remedy plan.

22

23

1 **Q. WHY IS DISSAGGREGATION CRITICAL TO AN EFFECTIVE**
2 **REMEDY PLAN?**

3 **A.** Disaggregation is critical to an effective remedy plan because it
4 prevents poor performance in one area (such as xDSL) from being
5 obscured by being lumped together with dissimilar performance data.
6 For example, comparing central office provisioning work to field
7 dispatch provisioning work masks discriminatory performance.
8 Sufficient disaggregation is absolutely essential for accurate
9 comparison of results to expected performance. This is true
10 regardless of whether a retail analog or a benchmark serves as the
11 performance standard.

12

13 **Q. IS THE DISSAGGREGATION PROPOSED BY ALECS FOR**
14 **PERFORMANCE REPORTING THE SAME LEVEL OF**
15 **DISSAGGREGATION REQUIRED FOR COMPLIANCE**
16 **DETERMINATIONS?**

17 **A.** Yes. The reporting would provide the documentation necessary to
18 provide understanding and supporting documentation for the
19 compliance determination.

20

21 **Q. WHAT DISSAGGREGATION IS PROPOSED BY THE ALECS?**

22 **A.** Disaggregation should be required by interface type, pre-order query
23 type, product, volume category, work activity type, trouble type, trunk

1 design and type (for trunk blockage measurements), maintenance and
2 repair query type and collocation category. The required
3 disaggregation for each specific measure is included in the direct
4 testimony of Karen Kinard.

5

6 **ISSUE 11.C: WHAT IS THE APPROPRIATE STRUCTURE:**

7 **3. What is the appropriate remedy calculation?**

8 **4. What is the appropriate benchmark table for small**
9 **sample sizes?**

10 **5. Should there be a floor on the balancing critical**
11 **value?**

12

13 **Q. WHAT REMEDY CALCULATION IS PROPOSED IN THE ALECS'**
14 **PERFORMANCE INCENTIVE PLAN FOR TIER I MEASURES?**

15 **A.** The ALECs' plan contains two calculation methods. The first remedy
16 calculation methodology is applied to parity submeasures. The
17 second remedy calculation methodology is applied for benchmark
18 submeasures.

19

20 **Q. WHAT IS THE REMEDY CALCULATION USED FOR PARITY**
21 **MEASURES?**

22 **A.** For parity submeasures, Tier 1 payments are paid to individual ALECs
23 if the difference in a given month between BellSouth's performance for

1 itself or affiliates and that which it provides to a particular ALEC
 2 exceeds the gap specified in the ALECs' remedy plan. Tier I has
 3 three categories of violations, depending upon how big the gap in
 4 performance between what BellSouth provides for itself or its affiliates
 5 and the performance it provides to ALECs. Once a submeasure
 6 failure is determined, the calculated remedy should be a continuous
 7 function of severity of the failure. Severity is represented by the
 8 magnitude of the gap between the modified z and the balancing
 9 critical value. As specified in Table I, the consequences are a
 10 function of severity of the failure.

11

TABLE I⁴

| Range of modified z-statistic value (z) | Performance Designation | Applicable Consequence (\$) |
|---|-------------------------|------------------------------------|
| greater than or equal z* | Compliant | 0 |
| less than z* to 5z*/3 | Basic Failure | a(z/z*) ² + b(z/z*) + c |
| less than 5z*/3 to 3z* | Intermediate Failure | |
| less than 3z* | Severe Failure | 25,000 |

12

13 **Q. WHAT IS THE REMEDY CALCULATION USED FOR BENCHMARK**
 14 **DETERMINATIONS?**

⁴ z represents the modified z-statistic value and z* represents the balancing critical value. The coefficients of the consequence function are a=5625, b=-11250, & c=8125.

1 **A.** When the benchmark serves as the performance standard, the
2 measurement establishes a performance failure directly and
3 assesses the degree to which performance departs from the
4 standard. For benchmark measures, the performance is expressed
5 as “B% meet or exceed the benchmark” where B% is a proportion
6 figure set less than 100%. Accordingly, a performance failure
7 should be declared if the calculated performance is not equal to or
8 greater than the “B%” level. As performance becomes
9 increasingly worse as compared to the benchmark, additional
10 consequences will be incurred as reflected in Table 2. The
11 consequences depend on the magnitude of non-compliance.

12

TABLE 2⁵

| Range of Benchmark Result (x) | Performance Designation | Applicable Consequence (\$) |
|---|----------------------------|---|
| Meets or exceeds B% | Compliant | 0 |
| Meets or exceeds (1.5B- 50)% but worse than B% | Basic Failure | $d[x/(100-B)]^2 + eB[x/(100-B)^2] + f[B/(100-B)]^2 + g$ |
| Meets or exceeds (2B- 100)% but worse than (1.5B-50)% | Intermediate Failure | |
| Worse than (2B-100)% | Severe Failure | 25,000 |

13

1 **Q. HOW ARE TIER I PAYMENTS CALCULATED FOR BENCHMARK**
 2 **MEASURES WHEN MEASUREMENT SETS ARE SMALL?**

3 **A.** Benchmark measures are “pass/fail”. However, the ALECS recognize
 4 that in some instances the number of transactions (e.g., in a particular
 5 geographic area) may be small. In those situations, BellSouth could
 6 have a harder task to meet the benchmark.

7 Consider this example:

8 The benchmark for a particular submeasure requires BellSouth to
 9 perform a function in 2 hours, 95% of the time. Due to disaggregation,
 10 there could be a situation where there are only 4 transactions for
 11 which to determine BellSouth's performance. With only 4
 12 transactions, BellSouth fails this benchmark if it misses the measure
 13 only one time. The ALECs' remedy plan allows for adjustments to be
 14 made when the size of the data set is very small, such as in the
 15 example above.⁶ The Benchmark Adjustment Table is specified in
 16 Exhibit CLB-2.

17

18 **Q. ARE ADDITIONAL TIER I REMEDIES INCURRED BASED ON THE**
 19 **DURATION OF A FAILURE? IF SO, HOW IS THE ADDITIONAL**
 20 **AMOUNT DETERMINED?**

⁵ In Table 2, the quantity x is the actually measured proportion and the coefficients are $d=25000$, $e=-45000$, $f=22,500$, and $g=2500$.

⁶ The Benchmark Adjustment Table that is used to adjust for small data sets is attached as Exhibit CLB-2.

1 A. Yes, The ALECs' plan calls for a \$25,000 payment to the ALEC for
2 "chronic" or recurring performance failures. The \$25,000 payment is
3 levied beginning with the third month that a particular submeasure is
4 missed. The \$25,000 monthly payment continues for every month
5 until the performance for that submeasure returns to the "compliant".
6 One month of compliant performance resets the clock. Chronic
7 failures are remedied at the same rate as severe violations.

8

9 **Q. IS THERE A NEED FOR A FLOOR ON THE BALANCING CRITICAL**
10 **VALUE AS APPLIED IN THE ALEC REMEDY CALCULATION? IF**
11 **SO, WHY?**

12 **A.** No. You do not need the floor on the Balancing Critical Value in the
13 ALEC remedy plan because the balancing is based on a materiality
14 that is reasonable.

15

16 **ISSUE 23: SHOULD THE PERFORMANCE ASSESSMENT PLAN**
17 **INCLUDE A COMPETITIVE ENTRY VOLUME ADJUSTMENT, AND**
18 **IF SO HOW SHOULD SUCH AN ADJUSTMENT BE**
19 **STRUCTURED?**

20

21 **Q. DOES A TRANSACTION-BASED PLAN REQUIRE SPECIAL**
22 **ADJUSTMENTS BECAUSE OF SMALL TRANSACTION**
23 **VOLUMES?**

1 **A.** Yes. For a transaction-based plan, payments on a per transaction
2 basis will be too small to incent BellSouth to behave in a
3 nondiscriminatory manner. As a result, nascent services or embryonic
4 ALECs would be most negatively affected by a transaction-based
5 plan. In an attempt to address this inadequacy, some type of
6 adjustment is necessary.

7

8 **Q.** **IS THE COMPETITIVE ENTRY VOLUME ADJUSTMENT A**
9 **FEATURE IN A TRANSACTION-BASED REMEDY PLAN?**

10 **A.** Yes. This feature attempts to compensate for the inadequate
11 remedies generated by the transaction-based plan.

12

13 **Q.** **IS THE COMPETITIVE ENTRY VOLUME ADJUSTMENT A**
14 **REQUIRED FEATURE IN A MEASURE-BASED PLAN SUCH AS**
15 **THE ALECS' PERFORMANCE INCENTIVE PLAN?**

16 **A.** No. By design, a measure-based plan will generate sufficient
17 remedies to motivate compliant behavior by BellSouth even though
18 the transaction volumes for embryonic ALECs and nascent services
19 are very low. Regardless of transaction volumes, the Performance
20 Incentive Plan is effective without the complexity of a competitive entry
21 volume adjustment

22

1 **ISSUE 12.A: WHAT IS THE APPROPRIATE METHODOLOGY**
2 **THAT SHOULD BE EMPLOYED TO DETERMINE IF BELL SOUTH**
3 **IS PROVIDING COMPLIANT PERFORMANCE ON A STATEWIDE**
4 **ALEC-AGGREGATE BASIS?(TIER II)**

5

6 **ISSUE 12.C: WHAT IS THE APPROPRIATE STRUCTURE:**

- 7 **3. What is the appropriate remedy calculation?**
8 **4. What is the appropriate benchmark table for small**
9 **sample sizes?**
10 **5. Should there be a floor on the balancing critical**
11 **value?**

12

13 **ISSUE 22: SHOULD THE PERFORMANCE ASSESSMENT PLAN**
14 **INCLUDE A MARKET PENETRATION ADJUSTMENT, AND IF SO**
15 **HOW SHOULD SUCH AN ADJUSTMENT BE STRUCTURED?**

16

17 **Q. ARE THE RULES FOR MAKING TIER II PERFORMANCE**
18 **DETERMINATIONS SIMILAR TO THOSE THAT APPLY FOR**
19 **TIER I?**

20 **A.** Yes. The same business rules apply under Tier II to aggregate data
21 of the individual ALECs as are employed for the individual ALEC data
22 under Tier I, except that a different consequence threshold is used.

1 Therefore, a modified consequence table, which is specified as Table
2 3, is applied for Tier II calculations.

3

4 **Q. WHAT IS THE TIER II REMEDY CALCULATION FOR PARITY**
5 **SUBMEASURES?**

6 **A.** For parity submeasures, Tier II payments are paid to a public fund
7 identified by the Commission if the difference in a given month
8 between BellSouth's performance for itself or affiliates and that which
9 it provides to the aggregate of ALECs exceeds the gap specified in the
10 ALECs' remedy plan. Once a submeasure failure is determined, the
11 calculated remedy should be a continuous function of severity of the
12 failure. Severity is represented by the magnitude of the gap between
13 the modified z and the balancing critical value calculated based on the
14 aggregate data of the individual ALECs. The form of consequences as
15 a function of severity is most simply accomplished by the use of a
16 quadratic function specified below:

TABLE 3⁷

| Range of modified z-statistic value (z) | Performance Designation | Applicable Consequence (\$) |
|---|-------------------------|---------------------------------|
| greater than or equal to $5z^*/3$ | Indeterminate | 0 |
| less than $5z^*/3$ to $3z^*$ | Market Impacting | $n [a(z/z^*)^2 + b(z/z^*) + c]$ |
| less than $3z^*$ | Market Constraining | $n25,000$ |

3

4 **Q. WHAT IS THE REMEDY CALCULATION USED FOR BENCHMARK**
 5 **MEASURES?**

6 **A.** When the benchmark serves as the performance standard, the
 7 measurement establishes a performance failure directly and
 8 assesses the degree to which performance departs from the
 9 standard. For benchmark measures, the performance is expressed
 10 as "B% meet or exceed the benchmark" where B% is a proportion
 11 figure set less than 100%. Accordingly, a performance failure
 12 should be declared if the calculated performance for the entire
 13 industry is not equal to or greater than the "B%" level. As with
 14 measurements that are judged against a parity standard, those
 15 compared to a benchmark standard should be subject to additional

⁷ z represents the modified z-statistic value and z* represents the balancing critical value. The coefficients of the consequence function are a=5625, b=-11250, & c=8125. The quantity n is the market penetration factor.

1 consequences as the performance becomes increasingly worse
 2 compared to the benchmark as specified below:

3 The following describes when a Tier 2 payment is triggered with
 4 benchmark submeasures:

| Range of Benchmark Result (x) | Failure Designation | Applicable Consequence (\$) |
|--|---------------------|---|
| Meets or exceeds (1.5B-50)% | Indeterminate | 0 |
| Meets or exceeds (2B-100)% but worse than (1.5B-50)% | Market Impacting | $n \{d[x/(100-B)]^2 + eB[x/(100-B)]^2 + f[B/(100-B)]^2 + g\}$ |
| Worse than (2B-100)% | Market Constraining | $n25,000$ |

5

6 All violations count. Tier 2 payments are paid directly into a state
 7 designated fund. BellSouth should have no direct or indirect interest
 8 in this fund. An example of this fund is the State Treasury.

9

10 **Q. IS THE TIER II REMEDY AMOUNT BASED ON ALEC MARKET
 11 PENETRATION LEVELS?**

12 **A.** Yes. "n" corresponds to the number of ALEC-served lines in the state
 13 of Florida.

14

1 **Q. WHAT IS THE "n" FACTOR USED IN THE TIER II REMEDY**
 2 **CALCULATION FOR BENCHMARK AND PARITY MEASURES?**

3 **A.** The Tier II remedy calculation includes a factor "n" in the calculation.
 4 This multiplier depends upon the openness of the local market to
 5 competition. In other words, "n" is based on ALEC market penetration
 6 levels. The value of "n" decreases as the number of ALEC served
 7 lines increases. This results in Tier 2 payments decreasing as the
 8 ALEC market penetration increases. The following table illustrates
 9 how the market penetration adjustment is determined:

10
 11 Tier II – Determinining "n"

| Lines provided to CLECs | Value of "n" |
|--|---------------------|
| more than or equal to 40% less than 50% | 1 |
| more than or equal to 30% less than 40% | 2 |
| more than or equal to 20% less than 30% | 4 |
| more than or equal to 10% less than 20% | 6 |
| more than or equal to 5% less than 10% | 8 |
| 0% to less than 5% | 10 |

12

13

14

1 **Q. HOW ARE TIER II PAYMENTS CALCULATED FOR BENCHMARK**
2 **MEASURES WHEN MEASUREMENT SETS ARE SMALL?**

3 **A.** The application of the Benchmark Adjustment Table for Tier I remedy
4 calculations is also appropriate for Tier II remedy calculations.

5

6 **Q. IS THERE A NEED FOR A FLOOR ON THE BALANCING CRITICAL**
7 **VALUE AS APPLIED IN THE ALEC REMEDY CALCULATION? IF**
8 **SO, WHY?**

9 **A.** No. You do not need the floor on the Balancing Critical Value in the
10 ALEC remedy plan because the balancing is based on a materiality
11 that is reasonable.

12

13 **ISSUE 18: WHAT LIMITATION OF LIABILITY, IF ANY, SHOULD**
14 **BE APPLICABLE TO BELLSOUTH?**

15

16 **ISSUE 19A: WHAT TYPE OF CAP, IF ANY, IS APPROPRIATE**
17 **FOR INCLUSION IN THEIR PERFORMANCE ASSESSMENT PLAN?**

18

19 **ISSUE 19B: WHAT IS THE APPROPRIATE DOLLAR VALUE OF A**
20 **CAP IF APPLICABLE?**

21

22 **ISSUE 20: WHAT PROCESS, IF ANY, SHOULD BE USED TO**

1 **DETERMINE WHETHER PENALTIES IN THE EXCESS OF THE**
2 **CAP SHOULD BE REQUIRED?**

3

4 **ISSUE 21: IF THERE IS A CAP, FOR WHAT PERIOD SHOULD**
5 **THE CAP APPLY?**

6

7 **Q. WHAT IS AN ABSOLUTE CAP?**

8 **A.**An absolute cap represents a limit on BellSouth's liability for providing
9 non-compliant service to ALECs.

10

11 **Q. WHY IS AN ABSOLUTE CAP UNACCEPTABLE?**

12 **A.**An absolute cap provides ILECs with the means to evaluate the cost
13 of market share retention through the delivery of non-compliant
14 performance. Second, absolute caps send the signal that once the
15 ILEC's performance deteriorates to a particular level (i.e. reaching the
16 absolute cap) then further deterioration in performance is irrelevant.

17

18 **Q. DOES THE ALECS'S REMEDY PLAN INCLUDE AN ABSOLUTE**
19 **CAP?**

20 **A.**No. ALECs do not support an absolute cap on remedy payments.
21 However, a review threshold (procedural cap)—which allows for a
22 regulatory hearing when a certain level of remedy payments are
23 exceeded—may be appropriate. Procedural caps establish a preset

1 level at which the ILEC could seek regulatory review of the
2 consequences that are due. However, the procedural cap would not
3 automatically absolve an ILEC of liability for a consequence.
4 Procedural caps, therefore, avoid both the problems of absolute caps.
5 They do not provide ILECs with the opportunity to evaluate the “cost”
6 of retaining share through non-compliance. Likewise, they do not
7 absolve an ILEC from consequences for unchecked performance
8 deterioration.

9 If a procedural cap is adopted, it should not stop Tier 1 payments to
10 ALECs because Tier 1 payments are intended to at least partially
11 compensate ALECs for the harm incurred because of the performance
12 failure. Absolute caps also create complexity and ambiguity for how to
13 allocate a portion of the legitimate remedies among the ALECs and
14 the state.

15

16 **Q. WHAT WOULD HAPPEN ONCE THE PROCEDURAL CAP IS**
17 **REACHED?**

18 **A.** If the procedural cap is reached, BellSouth should continue to make
19 Tier 2 payments into an interest-bearing registry or escrow account
20 that earns a minimum interest rate as approved by the Commission.
21 BellSouth would have the burden of showing that the amount due for
22 poor performance to the ALECs in aggregate do not merit the
23 remedies invoked. The Commission would then decide whether and

1 to what extent the amount in excess of the procedural cap should be
2 paid out. The procedural cap needs to be set sufficiently high enough
3 so as not to negate the benefits of self-executing remedies.

4

5 **Q. SHOULD AN ANNUAL OR MONTHLY PROCEDURAL CAP BE**
6 **ESTABLISHED?**

7 **A.** The procedural cap should apply on a rolling twelve month basis.
8 The 39% procedural cap in the Strawman Proposal is reasonable.

9

10 **ISSUE 3A: WHAT PERFORMANCE DATA AND REPORTS**
11 **SHOULD BE MADE AVAILABLE BY BELL SOUTH TO ALECS?**

12

13 **ISSUE 3B: WHERE, WHEN, AND IN WHAT FORMAT SHOULD**
14 **BELL SOUTH PERFORMANCE DATA AND REPORTS BE MADE**
15 **AVAILABLE?**

16

17 **Q. SHOULD PERFORMANCE REPORTS PROVIDE SUFFICIENT**
18 **INFORMATION FOR MAKING PERFORMANCE**
19 **DETERMINATIONS?**

20 **A.** Yes. BellSouth's reporting should be sufficient for making
21 performance determinations. The reports should include BellSouth's
22 provision of:

23 a. Services to BellSouth's retail customers in aggregate;

- 1 b. Services and facilities provided to any BellSouth local
2 exchange affiliate purchasing interconnection,
3 unbundled network elements or resale;
- 4 c. Services and facilities provided to carriers purchasing
5 interconnection, unbundled network elements or resale
6 in aggregate; and
- 7 d. Services and facilities provided to individual carriers
8 purchasing interconnection, unbundled network
9 elements or resale.

10 The reports should reflect the outcome of statistical procedures
11 applied to each sub-measure for which a parity determination will be
12 made. Additionally, benchmark results should be reported.

13

14 **Q. IS IT POSSIBLE TO VALIDATE THE ACCURACY AND IMPACT OF**
15 **THE ILECS' REPORTED PERFORMANCE WITHOUT ACCESS TO**
16 **THE RAW DATA THE ILEC USES TO CREATE REPORTS?**

17 **A. No. Access to raw data used to create performance reports is**
18 **essential to report validation.**

19

20 **Q. IF ERRORS IN DATA AND PERFORMANCE REPORTS ARE**
21 **IDENTIFIED, SHOULD THEY BE CORRECTED AND THE ALECS**
22 **NOTIFIED?**

1 **A.** Yes. If an ILEC or ALEC discovers that raw data records or
2 performance reports exclude data, omit data, are calculated
3 incorrectly, or contain an error of any type, the ILEC should be
4 required to immediately notify affected ALECs. The ILEC should then
5 make arrangements to correct the raw data raw data or performance
6 reports and submit the corrected report to the ALECs. If an ILEC or
7 ALEC discovers a data error after the report is no longer accessible to
8 ALECs, the ILEC should remain responsible for correcting the error
9 and immediately notifying the ALECs of the error and the measures
10 taken to make the correction. The obligation to correct errors after
11 access to the reports has ended should remain for 12 months after the
12 date the report is no longer accessible to ALEC.

13

14 **Q.** **WHEN AND WHERE SHOULD PERFORMANCE DATA AND**
15 **REPORTS BE MADE AVAILABLE?**

16 **A.** Performance data and reports should be made available in a readily
17 accessible manner on an Internet web site. The data and reports
18 should be made available on the 15th day of each month. If any data
19 are excluded, the ILEC must be required to justify all exclusions
20 before they are made.

21

22 **Q.** **SHOULD ADDITIONAL SUPPORT BE PROVIDED TO ENABLE**
23 **INTERPRETATION OF THE DATA?**

1 **A.** Yes. The ILEC should maintain a current and accurate user's manual
2 to support ALECs in accessing and interpreting the raw data. The
3 user's manual should include detailed descriptions of what the data
4 means, i.e., beginning and ending parameters for fields, and include
5 definitions for the codes use by the ILEC. The ILEC should also
6 provide a knowledgeable single point of contact with whom ALECs
7 can confer to resolve questions about accessing the raw data
8 including, but not limited to, explanations of the fields, parameters,
9 code definitions, file column purposes and headings.

10

11 **Q.** **HOW SHOULD PERFORMANCE REPORTS AND DATA BE MADE**
12 **AVAILABLE?**

13 **A.** The performance reports should be specified in a summarized
14 spreadsheet format and include, at a minimum, those fields of
15 information specified on the attached spreadsheet. See Exhibit CLB-3
16 for an illustrative example of this format. The performance data
17 should be provided in format that can be readily utilized by standard
18 database management tools such as Excel, Access, or Oracle.

19

20 **ISSUE 5a.: SHOULD BELLSOUTH BE PENALIZED WHEN**
21 **BELLSOUTH FAILS TO POST THE PERFORMANCE DATA AND**
22 **REPORTS TO THE WEB SITE BY THE DUE DATE?**

23

1 **ISSUE 5b.: IF SO, HOW SHOULD THE PENALTY AMOUNT BE**
2 **DETERMINED, AND WHEN SHOULD BELLSOUTH BE REQUIRED**
3 **TO PAY THE PENALTY.**

4
5 **ISSUE 6.a.: SHOULD BELLSOUTH BE PENALIZED IF THE**
6 **PERFORMANCE DATA AND REPORTS PUBLISHED ON THE**
7 **BELLSOUTH WEBSITE ARE INCOMPLETE OR INACCURATE?**

8
9 **ISSUE 6.b.: IF SO, HOW SHOULD THE PENALTY AMOUNT BE**
10 **DETERMINED, AND WHEN SHOULD BELLSOUTH BE REQUIRED**
11 **TO PAY THE PENALTY.**

12
13 **Q. ARE THERE OTHER PERFORMANCE FAILURES TO WHICH THE**
14 **ALECS' REMEDY PLAN APPLIES.**

15 **A. Yes. The ALECs' remedy plan calls for payments to be made when**
16 **BellSouth posts performance data and reports late. If performance**
17 **data and associated reports are not available to the ALECs by the**
18 **due day, the ILEC should be liable for payments of \$5,000 to a**
19 **state fund for every day past the due date for delivery of the**
20 **reports and data. The ILECs' liability should be determined based**
21 **on the latest report delivered to an ALEC.**

22

1 **Q. SHOULD REMEDIES BE INCURRED FOR INCOMPLETE OR**
2 **INACCURATE PERFORMANCE DATA AND REPORTS?**

3 **A.** Yes. If performance data and reports are incomplete, or if
4 previously reported data are inaccurate, then the ILEC should be
5 liable for payments of \$1,000 to a state fund for every day past
6 the due date for delivery of the original reports.

7

8 **ISSUE 17: WHAT IS THE APPROPRIATE MECHANISM FOR**
9 **ENSURING THAT ALL PENALTIES UNDER TIER I AND TIER II**
10 **ENFORCEMENT MECHANISMS HAVE BEEN PAID AND**
11 **ACCOUNTED FOR?**

12

13 **Q. SHOULD TIER I AND TIER II REMEDIES PAID BY BELLSOUTH BE**
14 **VALIDATED?**

15 **A.** Yes. On a random basis, the Commission should have an
16 independent auditing and accounting firm certify that all the
17 penalties under Tier I and Tier II Enforcement Mechanisms are
18 properly and accurately assessed and paid in accordance with
19 Generally Accepted Accounting Principles.

20

21 **ISSUE 10: UNDER WHAT CIRCUMSTANCES, IF ANY, SHOULD**
22 **BELLSOUTH BE REQUIRED TO PERFORM ROOT CAUSE**
23 **ANALYSIS?**

1 Q. SHOULD BELLSOUTH BE REQUIRED TO PERFORM ROOT-CAUSE
2 ANALYSIS?

3 A. Yes. Root cause analysis is a useful procedure for building action
4 plans for unacceptable performance and should be incorporated within
5 a performance measurement system, but it cannot serve as a vehicle
6 for delaying or otherwise avoiding payment of identified performance
7 failures.

8

9 Q. HAS ROOT-CAUSE ANALYSIS BEEN PREVIOUSLY ORDERED IN
10 THE BELLSOUTH REGION?

11 A. Yes. The Georgia Public Service Commission Order stated that
12 BellSouth must perform a "root cause analysis" and file with the
13 Commission a corrective action plan within 30 days of the failure.
14 The root cause analysis would be triggered if any measure fails twice
15 in any 3 consecutive months in a calendar year.

16

17 ISSUE 7: WHAT REVIEW PROCESS, IF ANY, SHOULD BE
18 INSTITUTED TO CONSIDER REVISIONS TO THE PERFORMANCE
19 ASSESSMENT PLAN THAT IS AOPTED BY THIS COMMISSION?

20

21 Q. SHOULD THE PERFORMANCE ASSESSMENT PLAN APPROVED
22 BY THIS COMMISSION BE REVIEWED EVERY 6 MONTHS?

1 **A.** Yes. A collaborative work group, including ALECs, the Florida Public
2 Service Commission and BellSouth, should be established to review
3 the Performance Assurance Plan for additions, deletions and
4 modifications. A review cycle should start six months after the date of
5 the Florida Public Service Commission order. BellSouth and the
6 ALECs should file any proposed revisions to the Performance
7 Assessment Plan one month prior to the beginning of each review
8 period. BellSouth may be ordered by the Florida Public Service
9 Commission to modify or amend the Service Quality Measurements or
10 Enforcement Measures. Nothing should preclude either party from
11 participating in any proceeding involving BellSouth's Service Quality
12 Measurements or Enforcement Measures or from advocating that
13 those measurements be modified.
14 In the event a dispute arises regarding the ordered modification or
15 amendments the parties will refer the dispute to the Florida Public
16 Service Commission.

17

18 **ISSUE 8: WHEN SHOULD THE PERFORMANCE ASSESSMENT**
19 **PLAN BECOME EFFECTIVE?**

20

21 **Q.** **SHOULD A REMEDY PLAN GO INTO EFFECT AS SOON AS IT IS**
22 **ORDERED?**

1 **A.** Yes. The remedy plan should go into effect as soon as it is ordered
2 by the Commission so that the benefits of its effect on the marketplace
3 can be realized. The plan can be used to measure compliance, so
4 that the state regulators can make the appropriate recommendation to
5 the FCC. Also, the systems can be tested and burned in prior to
6 acceptance, so backsliding can be disincented. It would illustrate to
7 regulatory authorities that BellSouth is committed to irreversibly
8 opening the local market to competition.

9

10 **ISSUE 13: WHEN SHOULD BELLSOUTH BE REQUIRED TO**
11 **MAKE PAYMENTS FOR TIER I AND TIER II NONCOMPLIANCE,**
12 **AND WHAT SHOULD BE THE METHOD OF PAYMENT.**

13

14 **ISSUE 14A: SHOULD BELLSOUTH BE REQUIRED TO PAY**
15 **INTEREST IF BELLSOUTH IS LATE IN PAYING AN ALEC THE**
16 **REQUIRED AMOUNT FOR TIER I?**

17

18 **ISSUE 14B: IF SO, HOW SHOULD THE INTEREST BE**
19 **DETERMINED?**

20

21 **ISSUE 15: SHOULD BELLSOUTH BE FINED FOR LATE**
22 **PAYMENTS OF PENALTIES UNDER TIER II? IF SO, HOW?**

23

1 **ISSUE 16: WHAT IS THE APPROPRIATE PROCESS FOR**
2 **HANDLING TIER I DISPUTES REGARDING PENALTIES PAID TO**
3 **AN ALEC?**

4

5 **Q SHOULD THE COMMISSION HANDLE DISPUTES REGARDING**
6 **TIER I PENALTIES PAID TO AN ALEC?**

7 **A.** Yes. When the ALEC and Bellsouth are unable to reach a mutually
8 agreeable settlement pertaining to the penalties paid, the Commission
9 should settle the dispute.

10

11 **Q.** **SHOULD BELLSOUTH BE PENALIZED WHEN BELLSOUTH FAILS**
12 **TO REMIT A CONSEQUENCE PAYMENT BY THE DUE DATE? IF**
13 **SO, HOW SHOULD THE PENALTY AMOUNT BE DETERMINED,**
14 **AND WHEN SHOULD BELLSOUTH BE REQUIRED TO PAY THE**
15 **PENALTY.**

16 **A.** Yes. If the ILEC fails to remit a consequence payment by the 15th
17 business day following the due date of the data and the reports
18 upon which the consequences are based, then it should be liable
19 for accrued interest for every day that the payment is late. A per
20 diem interest rate that is equivalent to the ILEC's rate of return for
21 its regulated services for the most recent reporting year should
22 apply.

23

1 Q. ARE THERE REMEDIES THAT THE ALECS SUPPORT IN
2 ADDITION TO THE TIER 1 AND TIER 2 PAYMENTS?

3 A. Yes. The ALECs reserve their right to seek individual legal and
4 regulatory remedies for harm they incur due to BellSouth's
5 performance. This Commission also retains its authority to monitor
6 BellSouth's performance and initiate proceedings to investigate the
7 status of competition within this state. In addition, the FCC retains its
8 ability under the Act to suspend or revoke authority that BellSouth may
9 attain in the future to provide in-region, interLATA long distances
10 services.

11

12 Q. SHOULD THIS COMMISSION ADOPT THE PERFORMANCE
13 INCENTIVE PLAN, VERSION 2.0?

14 A. Yes, I urge this Commission to order the remedy plan, Performance
15 Incentive Plan (PIP) Version 2.0, proposed by the ALECs. The PIP
16 should be adopted for the following reasons:

- 17 1. PIP is a comprehensive plan crafted on sound principles;
18 2. The multi-tiered structure serves to incent BellSouth to provide
19 compliant service by escalating consequences for continued
20 violations;
21 3. The Plan includes all measures to properly reflect all parts of
22 customer experiences;

- 1 4. Consequences under the plan escalate with increased level of
- 2 severity of violation;
- 3 5. The Plan provides for two separate evaluations: (1) the quality
- 4 of support delivered to each individual ALEC, and (2) the
- 5 quality of support delivered to the ALEC industry in the
- 6 aggregate;
- 7 6. The Plan includes consequences payable to individual ALECs
- 8 and consequences payable to a public fund identified by this
- 9 Commission;
- 10 7. The Plan includes a sound statistical methodology to make
- 11 performance determinations when measures have a retail
- 12 analog;
- 13 8. Benchmarks are established for measures that do not have
- 14 retail analogs;
- 15 9. The Tier II consequence calculation takes ALEC market
- 16 penetration levels into consideration; and
- 17 10. The consequences are applied at the submeasure level.

18

19 By adopting the ALEC's proposed Performance Incentive Plan

20 Version 2.0, this Commission can be assured that there is a sound

21 remedy plan in place to protect the end user - the Florida consumer.

22 This remedy plan will also assist in the rapid and sustainable

1 development of a competitive local telecommunications market in
2 Florida.

3

4 **ISSUE 4A: DOES THE COMMISSION HAVE THE LEGAL**
5 **AUTHORITY TO ORDER IMPLEMENTATION OF A SELF-**
6 **EXECUTING REMEDY PLAN?**

7 **ISSUE 4B: WITH BELLSOUTH'S CONSENT?**

8 **ISSUE 4C: WITHOUT BELLSOUTH'S CONSENT?**

9

10 **Q. DOES THE COMMISSION HAVE THE LEGAL AUTHORITY TO**
11 **ORDER A REMEDY PLAN IN FLORIDA?**

12 **A.** I am not an attorney, however, it is the ALEC Coalition's position that
13 the Commission does have authority under the Telecommunications
14 Act of 1996 to order the implementation of a self-executing remedy
15 plan without BellSouth's consent. This position will be fully discussed
16 in the post-hearing briefs filed by the parties.

17

18 **Q. DOES THAT CONCLUDE YOUR TESTIMONY?**

19 **A.** Yes.

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 **A.** My name is Cheryl Bursh. My business address is 1200 Peachtree Street,
3 Atlanta, Florida.

4

5 **Q. PLEASE DESCRIBE YOUR PROFESSIONAL AND EDUCATIONAL**
6 **BACKGROUND.**

7 **A.** I am employed by AT&T as a Senior Policy Witness. My area of expertise is
8 the development of an effective methodology for measuring BellSouth's
9 performance in providing services to ALECs. My responsibilities include
10 developing Performance Measurements testimony and affidavits for
11 regulatory proceedings, as well as representing AT&T in performance
12 measurements workshops and hearings, including those held in Florida,
13 Louisiana, Florida, and North Carolina. I have held a variety of management
14 positions at AT&T over the last 19 ½ years, including the sale of large
15 business systems and telecommunications services, systems development for
16 operation support systems, and product marketing and technical support for
17 computer systems. I have a Bachelor of Science Degree from Johnson C.
18 Smith University and a Master of Science Degree from George Washington
19 University.

20

21 **Q. PLEASE STATE THE PURPOSE OF YOUR TESTIMONY.**

22 **A.** The purpose of my testimony is to describe the deficiencies of BellSouth's
23 Self Effectuating Enforcement Mechanism (SEEM) and to discuss the

1 reasons it is not an appropriate remedy plan to ensure that the competitive
2 local telecommunications markets envisioned by the 1996 Act will develop
3 and survive in Florida. This testimony does not specifically target concerns
4 relating to the Staff Proposal (Strawman) given that Mr. Stallcup, the
5 Commission's Supervisor of the Economics and Forecasting Section in the
6 Division of Economic Regulation, has made clear that the Strawman does not
7 serve as a specific proposal for a performance plan, but a starting point for
8 the discussion as to what a performance plan should look like.

9

10 **Q. HAS THE FEDERAL COMMUNICATIONS COMMISSION (FCC)**
11 **PROVIDED ANY GUIDANCE FOR DETERMINING IF AN**
12 **ENFORCEMENT PLAN IS ADEQUATE?**

13 **A.** Yes. The FCC has identified the following key characteristics¹ for an
14 effective enforcement plan which are as follows:

- 15 • potential liability that provides a meaningful and significant incentive to
16 comply with the designated performance standards;
- 17 • clearly articulated, pre-determined measures and standards, which
18 encompass a comprehensive range of carrier-to-carrier performance;
- 19 • a reasonable structure that is designed to detect and sanction poor
20 performance when it occurs;

¹ *FCC Memorandum Opinion And Order in the Matter of Application by Bell Atlantic New York for Authorization Under Section 271 of the Communications Act To Provide In-Region InterLATA Service in the State of New York*, CC Docket No. 99-295, p. 214, ¶ 433, December 21, 1999.

- 1 • a self-executing mechanism that does not leave the door open
2 unreasonably to litigation and appeal; and
3 • reasonable assurances that the reported data is accurate.
4

5 **Q. DOES BELLSOUTH'S SEEM COMPLY WITH EACH OF THE KEY**
6 **REQUIREMENTS SET FORTH BY THE FCC?**

7 **A.** No. BellSouth's SEEM does not meet each of the key FCC requirements.
8

9 **Q. HOW IS BELLSOUTH'S SEEM DEFICIENT WITH RESPECT TO**
10 **THE KEY REQUIREMENTS SPECIFIED BY THE FCC?**

11 **A.** BellSouth's SEEM does not provide for potential liability that is a
12 meaningful and significant incentive to comply with the designated
13 performance standards.

14 BellSouth's SEEM does not adequately sanction and detect poor
15 performance.

16 BellSouth's measures and performance standards do not encompass a
17 comprehensive range of carrier-to-carrier performance derived from a
18 collaborative process with ALECs.

19 BellSouth's SEEM does not provide reasonable assurances that the reported
20 data is accurate.
21

22 **Q. DOES BELLSOUTH'S SEEM PROVIDE FOR POTENTIAL**
23 **LIABILITY THAT IS A MEANINGFUL AND SIGNIFICANT**

1 **INCENTIVE TO COMPLY WITH THE DESIGNATED**
2 **PERFORMANCE STANDARDS?(ISSUES 11.A, 11.C3, 12.A, 12.C3)**

3 **A.** No. The potential liability is reduced for the following reasons:

- 4 • SEEM's remedy calculation uses a factor that inappropriately
5 reduces BellSouth's liability.
- 6 • SEEM uses an inappropriate calculation methodology.
- 7 • SEEM includes an absolute cap.
- 8 • SEEM determines remedy amount based on transactions.

9 First, as a component of the SEEM design, the remedy calculation
10 uses a factor that inappropriately reduces BellSouth's liability. Use of this
11 factor, which is a slope of $\frac{1}{4}$ for even gross violations of parity, results in
12 BellSouth paying only a fraction of the maximum penalty amount. In other
13 words, the volume of transactions to which remedies would be applied is
14 reduced. Second, the actual remedy calculation methodology specified in
15 BellSouth's SEEM is inappropriate. This methodology, which determines
16 violations at the aggregate level and applies remedies at the disaggregated
17 level, is biased toward BellSouth. The SEEM calculation methodology
18 improperly excludes failed transactions from the cells with positive z scores,
19 even though these cells have already contributed to the aggregate z. The
20 result is that BellSouth will make smaller payments than if the volume
21 proportion, which is calculated from the state aggregate-z, is applied to all
22 cells. Therefore, BellSouth avoids paying remedies on all transactions that
23 represent a violation. BellSouth has included a number of steps in its

1 calculation which do no more than eliminate transactions which are subject to
2 remedies.

3

4 **Q. DO ADDITIONAL CALCULATIONS IN SEEM REDUCE THE**
5 **REMEDY AMOUNT PAID BY BELLSOUTH? (ISSUE 11.C.3, 12.C.3)**

6 **A.** Yes. The Benchmark Adjustment Table in BellSouth SEEM is not consistent
7 with the ALECs. BellSouth's Benchmark Adjustment Table allows for
8 additional mitigation that is unnecessary and inappropriate. What this means
9 is that BellSouth can fail more transactions before a non-compliance
10 determination is made.

11

12 **Q. CAN SEEM PROVIDE A MEANINGFUL AND SIGNIFICANT**
13 **INCENTIVE FOR BELLSOUTH TO COMPLY WITH THE**
14 **DESIGNATED PERFORMANCE STANDARDS IF SEEM INCLUDES**
15 **AN ABSOLUTE CAP? (ISSUES 19.A, 19.B, 20)**

16 **A.** No. The inclusion of an absolute cap decreases BellSouth's incentive to
17 comply with required performance standards. This is because absolute caps
18 serve to wrongfully limit BellSouth's liability. BellSouth's SEEM includes
19 an absolute cap of 36% of BellSouth's net operating revenue for Florida.
20 Regardless of how severe BellSouth's discriminatory performance might be,
21 BellSouth would pay no further remedies once the cap is reached. (Coon Dir.
22 p. 49) Consequently, BellSouth has no continuing incentive to correct its

1 performance deficiency. With an absolute cap, BellSouth has the opportunity
2 to evaluate the “cost” of retaining its market share through non-compliance.
3 In order for a remedy plan to be a meaningful and significant incentive for
4 compliant behavior, the procedural cap specified in the Staff proposal would
5 be more appropriate. The procedural cap would avoid the problems of an
6 absolute cap and would not provide BellSouth with the opportunity to
7 evaluate the “cost” of retaining share through non-compliance. Moreover,
8 unlike absolute caps, procedural caps do not absolve BellSouth from
9 consequences of performance deterioration.

10 Under a procedural cap, BellSouth would continue paying remedies
11 into a state fund until the Commission determines whether there is
12 justification for exceeding the procedural cap. Thus, contrary to Mr. Coon’s
13 testimony any payment made during the show cause hearing would be easily
14 recovered. Moreover, contrary to Mr. Coon’s testimony the procedural cap is
15 not the beginning of the process for setting absolute caps. Rather, the
16 procedural cap affords BellSouth the opportunity to present the Commission
17 with evidence as to why it should not be required to continue paying
18 remedies beyond the procedural cap even though its performance continues
19 to deteriorate.

20

21 **Q. IF SEEM DETERMINES REMEDIES BASED UPON TRANSACTION**
22 **VOLUMES, CAN SEEM PROVIDE FOR A MEANINGFUL AND**

1 **SIGNIFICANT INCENTIVE FOR BELLSOUTH TO COMPLY WITH**
2 **THE REQUIRED PERFORMANCE? (ISSUES 11.C.3, 12.C.3, 22)**

3 **A.** No. Accruing remedies on a per transaction basis as set forth in SEEM
4 minimizes BellSouth's liability because a significant number of ALECs are
5 currently at embryonic level of activity. The transaction volumes would be
6 very small and will not generate sufficient remedies to motivate compliant
7 behavior by BellSouth.

8 Remedies should accrue on a per measure basis.² As characteristic of
9 a measures-based plan, remedies should accrue at the level in which the
10 comparisons are made (i.e. at the measure/submeasure level). The remedy
11 amount is a direct function of the performance's departure from parity. The
12 measure-based plan does generate more remedies as the severity of the
13 discriminatory performance increases. Therefore, remedies should be applied
14 at the measure/submeasure level.

15 SEEM does not provide for potential liability that is a meaningful and
16 significant incentive to comply with designated performance standards. At a
17 time when ALECs are struggling to get into the local market, there would be
18 insufficient incentives to motivate non-discriminatory support. For this
19 reason, critical considerations such as Market Penetration Adjustments are
20 even more essential for ALECs to enter the market with new and advanced
21 services. Low ALEC penetration in the local market can be a good indication
22 that market suppression behaviors are occurring.

² The New York plan which was approved by the FCC does accrue remedies on a per measure basis.

1 Low ALEC market penetration warrants the need for special incentives
2 (consequences for market suppression) to open local markets. BellSouth has
3 strong business incentives and means to maintain its current monopolies
4 through the delivery of inadequate levels of operations support for ALECs. If
5 the consequences are inadequate, then market entry by the ALECs will
6 definitely be suppressed due to discriminatory support by BellSouth.

7

8 **Q. ARE THERE OTHER RECOMMENDATIONS BY BELLSOUTH**
9 **THAT LIMIT THE POTENTIAL LIABILITY THAT IS A**
10 **MEANINGFUL AND SIGNIFICANT INCENTIVE TO COMPLY**
11 **WITH THE DESIGNATED PERFORMANCE STANDARDS? (ISSUE**
12 **18)**

13 **A.** Yes. BellSouth supports limitations of liability for such events as the
14 submission of orders in unreasonable quantities or times. The ALECs are
15 unclear as to what constitutes “unreasonable quantities”. Additionally,
16 BellSouth’s OSS (i.e. gateway abnormalities) may be the cause of orders
17 submitted in what is perceived by BellSouth to be “unreasonable quantities.”
18 BellSouth’s OSS’s may also dictate the time when orders can be sent and
19 thereby received by BellSouth. As an example, the gateway may experience
20 an abnormality on Thursday and Friday which causes the orders to actually
21 be received in large sums on Saturday. BellSouth’s liability should not be
22 limited in this scenario. The ALEC is not the cause of the problem.
23 BellSouth also highlights a *force majeure* event as rationale to limit their

1 liability. While this may in fact occur, there is no particular reason to
2 believe that such events would result in disproportionate impacts on ALEC
3 customers as opposed to BellSouth customers. Therefore, *force majeure*
4 events do not warrant automatic exclusion from otherwise applicable
5 consequence. If such events occur, BellSouth should be permitted to pursue
6 relief, but relief should not be automatic. Regardless of BellSouth's excuse,
7 it is inappropriate to have automatic exclusion from otherwise applicable
8 consequences in a self-effectuating remedy plan.

9

10 **Q. DO THE MEASURES AND STANDARDS UPON WHICH SEEM IS**
11 **BASED ENCOMPASS A COMPREHENSIVE RANGE OF CARRIER-**
12 **TO-CARRIER PERFORMANCE AS A RESULT OF A**
13 **COLLABORATIVE PROCESS WITH ALTERNATIVE LOCAL**
14 **EXCHANGE CARRIERS? (ISSUE 2.A)**

15 **A.** No. The measures in SEEM are not the result of a comprehensive
16 collaborative proceeding. The FCC has stated that an effective enforcement
17 plan should have clearly articulated, pre-determined measures and standards,
18 which encompass a comprehensive range of carrier-to-carrier performance.
19 BellSouth inappropriately excludes many of the BellSouth SQM measures
20 from its remedy plan. The narrow scope of measures will result in critical,
21 customer-impacting areas not being monitored or subject to remedies.

22

1 The measures in BellSouth's SEEM are a subset of the BellSouth SQM and
2 BellSouth independently selected this subset of measures for inclusion. This
3 is unlike what the FCC supported in the Bell Atlantic Plan:

4 We also believe that the scope of performance covered
5 by the Carrier-to-Carrier metrics is sufficiently
6 comprehensive, and that the New York Commission
7 reasonably selected key competition-affecting metrics
8 from this list for inclusion in the enforcement plan.³

9 In the 1999/2000 Louisiana Workshops, BellSouth, independent of
10 the ALECS, selected measures for inclusion in VSEEM III (upon which
11 SEEM is based) from its SQM, which the ALECs previously objected to as
12 being too narrow in scope. As an example, BellSouth ignored ALEC
13 requests for critical hot cut measures which can contribute to negative
14 customer impacts such as whether the FOC was issued in time to allow the
15 ALEC to perform essential activities

16

17 **Q. ARE THE 13 ADDITIONAL MEASURES REFERENCED IN MR.**
18 **COON'S TESTIMONY INCLUDED IN THE ENFORCEMENT PLAN?**

19 No. Mr. Coon states that BellSouth has expanded the SQM to include 13
20 additional measures not specified in the Florida Staff proposal. Mr. Coon
21 does not, however, convey that fact that all of the 13 measures were not
22 included in SEEM. Mr. Coon neglects to mention, however, that BellSouth

1 independently selected only a subset of those measures to be included in
2 SEEM as Enforcement measures. BellSouth did not allow the ALECs to
3 specify measures for inclusion in SEEM. The additional measures which
4 BellSouth decided to omit from their remedy plan include the following:

- 5 ▪ Coordinated Customer Conversion – Average Recovery Time
- 6 ▪ Meantime to Notify ALEC of Network Outage
- 7 ▪ Recurring Charge completeness
- 8 ▪ Non-Recurring Charge Completeness
- 9 ▪ Database Update Interval
- 10 ▪ Database Update Accuracy
- 11 ▪ NXX and LRNs Loaded by LERG Effective Date
- 12 ▪ Notification of Interface Outages

13 BellSouth continues to imply that the measures in SEEM are patterned after
14 those used in New York and Texas. However, BellSouth has fewer than 82
15 submeasures subject to remedies while Texas has nearly 3000 submeasures
16 subject to remedies.⁴ Mr. Coon states in his Georgia testimony that the New
17 York and Texas Commissions charged the ALECs with communication of
18 the measurement set that is most “customer impacting.” BellSouth did not
19 allow the Florida ALECs to make a similar determination for SEEM. Again,
20 BellSouth made the decisions concerning measures included in BellSouth’s
21 remedy plan.

³ FCC Memorandum Opinion And Order in the Matter of Application by Bell Atlantic New York for Authorization Under Section 271 of the Communications Act To Provide In-Region InterLATA Service in the State of New York, CC Docket no. 99-295, p. 218, para. 439, December 21, 1999.

1 **Q. DOES BELL SOUTH EXCLUDE CRITICAL MEASURES IN ITS SQM**
2 **FROM SEEM?**

3 **A.** Yes. BellSouth's SEEM limits monitoring of critical, customer-impacting
4 areas⁵ of performance. As an example, SEEM does not specify LNP-FOC
5 Timeliness or LNP- Reject Interval as Enforcement measures. Without a
6 FOC, ALECs cannot provide their customers with an expected date of
7 service. End user customers are not willing to rely on providers who cannot
8 provide something as simple as a service due date in a timely manner. SEEM
9 will not allow BellSouth's performance to be monitored in this area. For
10 many facilities-based ALECs, LNP orders are a critical aspect of their
11 business and therefore monitoring BellSouth's performance in this area is
12 critical to ALECs.

13
14 **Q. DOES BELL SOUTH INAPPROPRIATELY EXEMPT SOME**
15 **ENFORCEMENT MEASURES FROM TIER I CONSEQUENCES?**

16 **A.** Yes. BellSouth's SEEM inappropriately excludes the following Enforcement
17 measures⁶ from Tier I remedies:

- 18 ▪ Invoice Accuracy
- 19 ▪ Mean Time To Deliver Invoice
- 20 ▪ Usage Data Delivery Accuracy
- 21 ▪ Reject Interval

⁴ BellSouth Telecommunications, Georgia Public Service Commission, June 29, 2000, Dave Coon's Direct Testimony, page 17.

⁵ See Additional Measures specified in Karen Kinard's Direct testimony.

⁶ Enforcement Measures are SQM measures selected by BellSouth for inclusion in SEEM.

1 ▪ FOC Timeliness

2 This means that an individual ALEC can experience excessively long
3 intervals before receiving FOCs from BellSouth and BellSouth would not
4 incur any remedy. In other words, BellSouth can hinder an individual
5 ALEC's ability to provide their customers with timely notice of service
6 without a consequence to BellSouth. This is attributed to the fact that FOC
7 Timeliness for individual ALECs would not be monitored in SEEM. Unlike
8 a collaborative process for developing a remedy plan, BellSouth did not
9 include ALECs in Florida in making Tier I or Tier II measure designations.

10

11 **Q. DOES SEEM HAVE THE ABILITY TO ADEQUATELY DETECT**
12 **AND SANCTION POOR PERFORMANCE?**

13 **A.** No. The level of disaggregation is insufficient. The retail analogs are
14 inappropriate. The measures are inadequate and therefore can hinder the
15 ability to detect discrimination. Additionally, SEEM includes an absolute
16 cap and a questionable methodology for invoking Tier II remedies which
17 decrease sanctions incurred by BellSouth.

18 The structure of the BellSouth SEEM can allow non-compliant
19 performance to be masked and not even subject to remedies. An effective
20 enforcement plan should have a reasonable structure that is designed to detect
21 and sanction poor performance when it occurs.

1 **Q. CAN YOU ELABORATE ON HOW INSUFFICIENT**
2 **DISAGGREGATION HINDERS THE ABILITY TO DETECT POOR**
3 **PERFORMANCE?**
4 **(ISSUE 2.B)**

5 A. Yes. The level of disaggregation in SEEM is inadequate and facilitates
6 consolidation of dissimilar products for comparisons. Disaggregation should
7 proceed to a level where like-to-like comparisons can be made. BellSouth
8 states that its position endorses “like-to-like” comparisons. However,
9 BellSouth’s position is contradicted by the inadequate product
10 disaggregation that continues to be a characteristic of SEEM. Within SEEM,
11 BellSouth continues to aggregate some UNE loops together even though the
12 processes (i.e. intervals) for the various loops differ from one another. For
13 example, the interval for one DS1 Loops is 23 days and the interval for one
14 2-Wire Analog Loops is 4 days.⁷ This level of disaggregation is insufficient
15 and does not contribute to “like-to-like” comparisons. Likewise, the product
16 disaggregation for enforcement measures in Staff’s proposal is insufficient.

17 In his testimony, Mr. Coon emphasizes that BellSouth has more
18 disaggregation than that represented in the Staff Proposal. He further
19 expresses this by stating that Staff Proposal had 7 levels of disaggregation
20 for Reject Interval and that BellSouth had 17. What he failed to state is that

⁷ BellSouth Products & Services Interval Guide – Network And Carrier Services, Customer Guide CG-INTL-001, Issue 3b-December 2000

1 these 17 levels of disaggregation are absolutely meaningless to the remedy
2 plan. Specifically, the remedy plan only specifies one level of disaggregation
3 for the Reject Interval.

4 BellSouth proposes to rely upon overly aggregated results. Such
5 aggregation masks differences and makes detection of inferior performance
6 less likely. As discussed earlier, insufficient product disaggregation will
7 allow BellSouth to mask discrimination and thereby influence the type and
8 pace of developing competition. In SEEM, discrimination of high-
9 revenue/low volume products such as DS1s or DS3s can easily be concealed
10 given that they are consolidated with a dissimilar high volume product such
11 as Analog Loops.

12
13 **Q. CAN YOU ELABORATE ON HOW INAPPROPRIATE RETAIL**
14 **ANALOGS HINDER THE ABILITY TO DETECT POOR**
15 **PERFORMANCE? (ISSUE 9)**

16 **A.** Yes. On a measure such as Order Completion Interval, BellSouth can actually
17 report compliant support even though they are providing discriminatory
18 support in reality. As an example, the retail analog for OCI - UNE Loops are
19 Retail Residence & Business Dispatch. A significant percent of the UNE
20 Loop observations could be UNE Analog Loops which are all dispatch-in.
21 Dispatch-in signifies that the work is done within the Central Office.
22 Dispatch usually refers to service where the work is done in the field or
23 outside of the Central Office. Clearly, work done within the Central Office

1 has a shorter interval than work done away from the Central Office. Given
2 the retail analog is designated as Retail Residence & Business Dispatch,
3 BellSouth would always appear to be providing longer intervals for itself
4 (compliant support) for this example primarily because the retail analog is
5 inappropriate.

6

7 **Q. CAN YOU ELABORATE FURTHER ON HOW SEEM FAILS TO**
8 **SANCTION POOR PERFORMANCE?**

9 A. Yes. First, as stated earlier in my testimony, SEEM has an absolute cap that
10 limits the amount of remedies paid by BellSouth for discriminatory
11 performance. An absolute cap sends the signal that once BellSouth's
12 performance deteriorates to a particular level, then further deterioration is
13 irrelevant and results in no consequences if an absolute cap is established.
14 An absolute cap also provides BellSouth with the means to evaluate the cost
15 of market share retention through the delivery of non-compliant performance.
16 Thus, once BellSouth's performance deteriorates to a level where it reaches
17 the absolute cap, any further deterioration in BellSouth's performance will not
18 generate remedy payments and will go unsanctioned, thereby removing the
19 incentive for BellSouth to provide compliant performance.

20 Second, BellSouth's SEEM bases compliance at the ALEC aggregate
21 level on 3 months of data. This 3-month aggregation of data will mask
22 discriminatory performance and will also allow non-compliance to occur
23 without a consequence. BellSouth could potentially have 2 consecutive

1 months of industry-wide, non-compliant performance and not incur any
2 consequences if the third month was complaint and the third month's
3 transactions were a larger volume than the previous 2 months. It is
4 unacceptable for ALEC customers to receive deplorable service for two
5 consecutive months and BellSouth not face some consequences. Industry
6 level performance should be assessed for each month's activities.
7 Aggregating results across ALECs within a single month already makes
8 detection of discrimination more difficult, due to likely greater variation in
9 the underlying data. To further dilute the ability to detect discrimination with
10 the possibility of additional averaging across 3 months is simply an attempt
11 by BellSouth to avoid the application of otherwise appropriate consequences.
12 Additionally, it appears that there are no special consequences for chronic
13 violations at the industry level in SEEM.

14

15 **Q. ARE THE MEASURES IN SEEM SUFFICIENT IN SCOPE TO**
16 **MONITOR FOR BACKSLIDING?**

17 **A.** No. BellSouth proposes an inadequate set of measures and, as a result,
18 backsliding can occur in many operational areas without any consequence.
19 The measures set forth by BellSouth do not cover the full scope of ILEC
20 support required for unfettered local market competition to develop. Many
21 potentially important aspects of performance will not be examined due to the
22 inadequate set of measures represented in the BellSouth proposal.
23 BellSouth's SEEM measures are inadequate to determine discriminatory

1 performance and should be augmented by the measures requested by the
2 ALECs and included in Ms. Kinard's direct testimony. BellSouth's current
3 SEEM proposal only includes a subset of measures reflected in the BellSouth
4 February 2001 SQM filed in Florida.

5 BellSouth's SEEM omits measurements that are critical to assuring
6 non-discrimination. Any remedy plan must cover all forms of operational
7 support required by the Act. Both blatant (directly and immediately customer
8 observable) and subtle discrimination (ALEC operational support) will
9 ultimately impact customers. Due to the many omitted measures,
10 BellSouth's SEEM does hinder sanctions for non-compliance.

11

12 **Q. DOES SEEM PROVIDE REASONABLE ASSURANCES THAT THE**
13 **REPORTED DATA IS ACCURATE.**

14 **A.** No. SEEM incorporates an audit to certify the current year aggregate level
15 reports for both BellSouth and the ALECs. SEEM, however, does not require
16 a comprehensive audit of BellSouth's performance measurement data
17 collection, storage, retrieval and reporting processes, along with end-to-end
18 tracking of orders through BellSouth's systems and processes to ensure that
19 reported performance is accurate. An effective enforcement plan would
20 require a comprehensive performance measurement audit to provide
21 reasonable assurances that the reported data and performance are accurate.

22 BellSouth states that an auditing firm will certify that the Tier I and
23 Tier II remedies were paid. It is even more critical that an auditing firm
24 confirm that BellSouth has indeed appropriately calculated remedies and

1 properly invoked remedies that would be commensurate with the performance
2 rendered to each ALEC and the industry at large.

3

4 **Q. ARE REMEDIES FOR LATE, INCOMPLETE AND INACCURATE**
5 **PERFORMANCE REPORTING INCLUDED IN OTHER REMEDY**
6 **PLANS APPROVED BY THE FCC? (ISSUES 6.A, 6.B, 5.A, 5.B)**

7 **A.** Yes. The SWBT remedy plan includes a payment for late and incomplete
8 performance reports. Specifically, the SWBT plan includes a payment of
9 \$5000.00 per day past the due date and \$1000.00 per day for each missing
10 performance report. Remedies should be assessed and paid by BellSouth to
11 the Commission for late, inaccurate and incomplete reports. ALECs have
12 already experienced late submission of performance reports by BellSouth.
13 Additionally, the performance reports have even been inaccurate and
14 incomplete.

15

16 **Q. WHEN SHOULD BELLSOUTH BE REQUIRED TO MAKE**
17 **PAYMENTS FOR TIER I AND TIER II NONCOMPLIANCE ?**
18 **(ISSUE 13)**

19 **A.** Payment should be on or before the 15th business day following the due date
20 of the reported performance results upon which consequences are based.
21 Waiting an additional forty-five days, as recommended by BellSouth, seems
22 completely unreasonable.

23

1 **Q. DOES BELLSOUTH INHIBIT THE ALECS' ABILITY TO**
 2 **VALIDATE REPORTED PERFORMANCE? (ISSUES 3.A, 3.B)**

3 **A.** Yes. Even BellSouth admits to not providing all the raw data needed by
 4 ALECs to validate BellSouth's reported performance. (Coon Direct
 5 Testimony, p.16). BellSouth is currently not providing access to raw data for
 6 a number of measures such as the following:

7 **Ordering**

- 8 • LNP_PCT_Reject_Interval_Service_Requests_Total_Me
 9 ch.txt
- 10 • LNP_PCT_Reject_Interval_Service_Requests_Partial_
 11 Mech.txt
- 12 • LNP_PCT_Reject_Interval_Service_Requests_Fully_Me
 13 ch.txt
- 14 • LNP_Reject_Interval_Service_Requests_Total_Mech.txt
- 15 • LNP_Reject_Interval_Service_Requests_Partial_Mech.t
 16 xt
- 17 • LNP_Reject_Interval_Service_Requests_Fully_Mech.txt
- 18 • LNP_Firm_Order_Confirmation_Total_Mech.txt
- 19 • LNP_Firm_Order_Confirmation_Partial_Mech.txt
- 20 • LNP_Firm_Order_Confirmation_Fully_Mech.txt

21 **Provisioning**

- 22 • LNP_Total_Order_Cycle_Time_Mechanized.txt

- 1 • LNP_Total_Order_Cycle_Time_Mechanized_with_App
- 2 ointment_codes.txt
- 3 • LNP_Percent_Missed_Installation_Appointments.txt
- 4 • LNP_Disconnects.txt

5 Billing

- 6 • Invoice Accuracy CLEC(Region)
- 7 • Mean Time to Deliver Invoices CLEC(Region)
- 8 • Usage Data Delivery Accuracy CLEC
- 9 • Usage Timeliness & Completeness CLEC

10

11 For many facilities-based ALECs, LNP orders are a critical aspect of their
 12 business. Therefore, BellSouth prohibits ALECs from validating the reported
 13 performance due to inhibiting access to LNP data. An effective remedy plan
 14 should provide performance reports and the supporting raw data for all
 15 measures in the plan.

16

17 **Q. IS ROOT CAUSE ANALYSIS USEFUL? (ISSUE 10)**

18 **A.** Yes. Root cause analysis is a useful procedure for building actions plans for
 19 unacceptable performance and should be incorporated within a performance
 20 measurement system, but should not serve as a vehicle for delaying or
 21 otherwise avoiding payment of identified performance failures. Performance
 22 failures can have detrimental effects on Florida's consumers. Procedures,
 23 such as root cause analysis, which could potentially remedy recurrence of

1 failures, are definitely essential. Root cause analysis can and should be
2 implemented such that the self-effectuating aspect of the remedy plan is not
3 impacted.

4

5 **Q. SHOULD IMPLEMENTATION OF A REMEDY PLAN ADOPTED BY**
6 **THIS COMMISSION BE DELAYED UNTIL AFTER BELLSOUTH**
7 **RECEIVES 271 APPROVAL? (Issue 8)**

8 **A.** No. The remedy plan should go into effect as soon as it is ordered by this
9 Commission so that the benefits of its effect on the marketplace can be
10 realized. The plan can be used to measure compliance, so that the state
11 regulators can make the appropriate recommendation to the FCC. Also, the
12 performance measurement systems should be tested prior to 271 approval, so
13 that any backsliding can be deterred. Further, putting the remedy plan in
14 effect immediately would illustrate to regulatory authorities that BellSouth is
15 committed to irreversibly opening the local market to competition.

16

17 **Q. WAS SEEM CREATED THROUGH AN INDUSTRY**
18 **COLLABORATIVE?**

19 **A.** No. BellSouth did not request that ALECs contribute their ideas in the
20 establishment of SEEM which is based on VSEEM III. Many of the
21 components, such as measures, remedy calculation and even the parameter
22 delta value, of SEEM were decided independently by BellSouth. As an
23 example, the workshops during the Louisiana proceeding did not address the

1 value of parameter delta. It is obvious that SEEM components are a
2 BellSouth decision since ALEC coalitions through out the region have
3 consistently disagreed with BellSouth's position on the value of parameter
4 delta, transaction-based nature of SEEM and the absolute cap contained in
5 SEEM.

6

7 **Q. SHOULD THE THIS COMMISSION ADOPT BELLSOUTH'S SEEM**

8 **A.** No. BellSouth's SEEM proposal will not provide adequate incentives, as
9 their cap implies, to prevent or correct "backsliding" performance. The
10 measures included in SEEM do not provide the necessary information
11 regarding support activities essential to the development of competition. In
12 the few instances where BellSouth proposes to permit examination of its
13 performance, it offers inadequate levels of disaggregation that afford
14 BellSouth the opportunity to mask discrimination. Further, BellSouth's
15 SEEM includes a cap on remedies which allows BellSouth to escape
16 consequences for discriminatory performance. BellSouth also applies a
17 calculation methodology that eliminates failed transactions which are subject
18 to remedies.

19 The FCC has set forth a framework for analyzing the reasonableness
20 of a proposed enforcement plan, which included 5 key aspects that a
21 performance assurance plan should include. BellSouth's SEEM clearly falls
22 outside this prescribed zone of reasonableness. Therefore, this Commission
23 should not adopt BellSouth's SEEM.

1 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

2 A. Yes.

1 BY MR. PRESCOTT:

2 Q Would you please provide the Commission with a summary
3 of your testimony?

4 A Yes, I will. Good morning, Commissioners. I am here
5 today to discuss the self-executing remedy plan that this
6 Commission should adopt in this docket to ensure that BellSouth
7 provides ALECs with support that is in parity with performance it
8 provides to its own retail operation. This Commission can best
9 protect the Florida consumers by adopting the remedy plan
10 proposed by the ALECs. The ALEC remedy plan will also assist in
11 the rapid and sustainable development of a competitive local
12 telecommunications market in Florida. BellSouth's remedy plan
13 will not allow this Commission to meet these goals.

14 BellSouth is in the unique position of being both the
15 supplier and main competitor of ALECs. Consequently, BellSouth
16 has a strong business incentive and the means to maintain its
17 current monopoly on the local market through the delivery of
18 inadequate and unlawful levels of operational support to ALECs.

19 BellSouth has the capability of seriously affecting an
20 ALEC's ability to enter the local market and successfully serve
21 its customers. Thus, an appropriate self-executing enforcement
22 mechanism is absolutely necessary to assure that the competitive
23 local telecommunications market envisioned by the
24 Telecommunications Act of 1996 will be able to not only develop,
25 but also thrive in Florida.

1 The objective of any remedy plan adopted by this
2 Commission is to establish appropriate incentives to motivate
3 BellSouth to provide ALECs with a level of service that allows
4 them to compete equally with BellSouth for customers in the local
5 market. Therefore, the incentives must cover the full landscape
6 of BellSouth activities upon which ALECs must rely to deliver
7 their own retail offerings and be set at a level such that the
8 economic consequences to BellSouth for providing noncompliance
9 service exceeds any benefit BellSouth may derive by inhibiting
10 competition.

11 My testimony explains that BellSouth's self-executing
12 enforcement mechanism, SEEM, is deficient in a number of ways
13 that should preclude this Commission from adopting this plan.
14 The six key deficiencies of SEEM include, first, BellSouth uses
15 an inappropriate methodology to calculate remedies. The
16 BellSouth methodology allows BellSouth to violate the standard
17 for a measure and yet not subject the transactions in violation
18 to a remedy. Stated differently, BellSouth has a transaction
19 based plan, but BellSouth does not pay for all the failed
20 transactions for a submeasure that is determined to be
21 non-compliant.

22 Second, the plan inappropriately caps BellSouth's
23 liability. This means that regardless of how bad BellSouth
24 misses the mark, and regardless of how bad a level of service
25 BellSouth provides to ALECs and their customers, BellSouth will

1 never pay over the capped amount. A cap does not incent
2 BellSouth to change its performance to meet the benchmark or
3 retail analog. Rather, it inappropriately allows BellSouth to
4 make a business decision on whether or not improving performance
5 is financially more viable than paying the preset capped penalty.

6 Third, the plan allows BellSouth to provide
7 non-compliant support to all of the ALECs and not even be subject
8 to remedies for a given month. When a non-compliant
9 determination is made based on the aggregate of all ALEC data for
10 a particular submeasure, that non-compliant determination is
11 considered an industry violation. BellSouth could potentially
12 pay no remedies for industry violations even though they have
13 been in violation at the industry level for eight months of the
14 year.

15 Fourth, the performance measurements that are included
16 in BellSouth's plan are insufficient to fully reveal if
17 BellSouth's performance to ALECs is nondiscriminatory. This
18 Commission would therefore not have what it needs to make
19 accurate performance determinations.

20 Fifth, BellSouth's plan does not provide for a
21 continuing audit of the performance measurement data upon which
22 the remedies are based. Thus, there would be no independent
23 review of the actual processes that produce source data
24 ultimately used for performance determinations, reporting and
25 remedy calculations.

1 Sixth, and finally, BellSouth's plan would not apply
2 until after 271 relief is granted. As shown by the testimony of
3 Mpower, COVAD, and e.spire, the ALECs need assistance now. ALECs
4 should not have to file a complaint with the Commission, wait to
5 prefile testimony, wait to have a hearing, wait to submit briefs,
6 and wait for a decision on customer impacting issues when
7 BellSouth is currently not performing as required by applicable
8 performance standards. Because of these deficiencies, I urge
9 this Commission to adopt the performance incentive plan proposed
10 by ALECs.

11 The ALEC plan, which is explained in my prefiled direct
12 testimony, should be adopted for the following reasons: First,
13 the ALEC plan is a comprehensive plan crafted on sound principles
14 that comply with the FCC guidelines for an effective enforcement
15 plan. Second, the ALEC plan has several tiers which escalate
16 consequences for continued violations. This structure
17 appropriately incents BellSouth to comply with the standards set
18 by this Commission. The ALEC performance incentive plan includes
19 all measures needed to allow this Commission as well as ALECs to
20 measure BellSouth's performance with regard to all parts of
21 customer experiences.

22 Fourth, the ALECs' plans consequences escalate with
23 increased level of severity of violations. This is very
24 important because extreme violations are even more damaging to
25 ALEC customers and should be remedied at a higher level. The

1 ALEC performance incentive plan provides for two separate
2 evaluations, the quality of support delivered to each individual
3 ALEC, and the quality of support delivered to the ALEC industry
4 in aggregate. The ALEC plan includes consequences payable to
5 individual ALECs and consequences payable to a public fund
6 identified by this Commission. This is important because it
7 alleviates any concerns relating to ALECs gaming the system.

8 Sixth, the ALEC performance incentive plan includes a
9 sound statistical methodology to make performance determinations
10 when measures have a retail analog. Therefore, the possibility
11 of random variation is addressed in making performance
12 determinations.

13 Seventh, benchmarks are established for measures that
14 do not have retail analogs. Not all measures have established
15 retail analogs. However, monitoring is still essential.

16 Providing benchmarks provides BellSouth with the performance
17 standards that will allow ALECs a meaningful opportunity to
18 compete.

19 Eighth, the Tier 2 consequence calculation takes ALEC
20 market penetration levels into consideration. This specifically
21 provides extra incentives for BellSouth to provide compliant
22 support when ALEC market penetration is very low and eliminates
23 special incentives when ALEC market penetration reflects levels
24 that demonstrate the existence of a true competitive local market
25 in Florida.

1 By adopting the ALECs' proposed incentive plan, this
2 Commission can be assured that there is a sound remedy plan in
3 place to protect the end user, the Florida consumer. This remedy
4 plan will also assist in the rapid and sustainable development of
5 a competitive local telecommunications market in Florida. You.

6 MR. PRESCOTT: The witness is available for questions.

7 CHAIRMAN JACOBS: Any cross, JALECs? Mr. Carver.

8 MR. CARVER: Yes, sir, thank you.

9 CROSS EXAMINATION

10 BY MR. CARVER:

11 Q Good morning, Ms. Bursh.

12 A Good morning.

13 Q My name is Phil Carver and I represent BellSouth.

14 First of all, I want to understand how the ALEC testimony is
15 being presented. As I understand it, Ms. Kinard, who testified
16 earlier, is supporting the ALECs' proposed measures, the
17 submeasures, and the disaggregation. And your portion of this is
18 that you are supporting the penalty plan, is that correct?

19 A Yes.

20 Q In the context of the penalty plan, would you agree
21 with me that the same failure by BellSouth should not be
22 penalized twice?

23 A Yes.

24 Q And it is your position, I believe, that all of the
25 measures that are proposed by the ALECs are in areas that affect

1 customers, is that correct?

2 A Yes. All the measures that are proposed, being
3 proposed do have customer affecting impacts.

4 Q And in some cases, however, there is no direct affect
5 on the customer, would you agree?

6 A No, I think customers are impacted directly.

7 Q In every instance?

8 A Yes.

9 Q All right. What about with invoice accuracy, do you
10 believe customers are directly impacted in that instance?

11 A Yes, I do.

12 Q Do you have a copy of your deposition with you from
13 last week?

14 A Yes.

15 Q Please turn to Page 11 of your deposition. Do you see
16 at Line 18 there is a question from staff. Are you there?

17 A I'm searching for it now.

18 Q Okay.

19 A Okay.

20 Q There is a question by staff, and this is just sort of
21 the setup so we can identify the subject area. It says could you
22 please explain why invoice accuracy should be included in the
23 enforcement mechanism. Do you see that?

24 A Yes, I do.

25 Q Now, let's go to the next page, 12, Line 13. Question

1 by Mr. Fudge, "So this is one of those measures that impacts
2 customers indirectly."

3 "Answer: You could say that."

4 Is that the testimony you gave last week?

5 A Yes, it is the testimony.

6 Q Now, I want to understand your position on correlation.

7 As I understand it, it is your position that without an industry
8 developed evaluation process that would take place at some point
9 in the future, you really can't know whether particular measures
10 are correlated or not, is that correct?

11 A Yes. Without the proper analysis done there is no way
12 to substantiate correlation amongst measures.

13 Q Okay. So I guess your position is that until that
14 process is gone through in the future, measures would be treated
15 in the interim as though they are not correlated, correct?

16 A No. Our position is that we, as an industry, need to
17 jointly develop a correlation analysis mechanism by which we can
18 appropriately determine whether or not measures are, in fact,
19 correlated so that we will have an effective and appropriate
20 performance plan here in Florida.

21 Q I understand that. But by question is until that
22 happens at some point in the future, is it your position that all
23 of the measures should be considered to not be correlated until
24 that determination is made?

25 A Well, as I stated previously, no determination on

1 correlation can be made until such time as we engage in that
2 analysis.

3 Q Let me ask -- I'm sorry, I didn't mean to interrupt.

4 A No. Which it would impact the effectiveness and
5 appropriateness of any plan that is decided upon. So I think it
6 is critical that that particular process be engaged in.

7 Q Did you hear Mr. Stallcup testify Wednesday in response
8 to a question by Mr. Lackey that the measurements for mean held
9 order interval for average completion interval and for total
10 service order cycle time are correlated, did you hear him say
11 that?

12 A I don't recall it.

13 Q In response to a series of questions that I asked Ms.
14 Kinard, did you hear her also state that these three measures are
15 correlated?

16 A I just don't recall everything I heard on Monday, I'm
17 sorry.

18 Q Well, the record will reflect what they testified, but
19 rather than our debating it, let me just put it this way. For
20 purposes of my question, assume that we have three measures and
21 assume that BellSouth believes they are correlated, and the staff
22 believes they are correlated, and the ALEC expert on measurements
23 believes they are correlated. Is it your position that we still
24 can't treat those as correlated until there is some sort of an
25 industry process that would occur in the future?

1 A Yes, that is still my position. Because even though
2 measures can't -- the analysis that we would engage in once we
3 develop this mechanism would also include us determining what
4 level of correlation is significant enough to say that you are
5 measuring the same thing. So just because there is some
6 correlation, it may not be a significant enough level of
7 correlation to warrant not having remedies being subjected to
8 each of those measures.

9 Q Well, what if the degree of correlation is sufficient
10 enough so that if one measure has failed there will automatically
11 be a failure of a second measure in every single instance, is
12 that enough correlation to decide that there should be some
13 adjustment made?

14 A I have no expertise in developing correlation analysis
15 mechanisms, so I would prefer not to respond to that question.

16 Q Okay. In the ALEC plan, penalties are applied at the
17 submeasure level, is that correct?

18 A Yes, they are.

19 Q And in the ALEC plan, every single submetric carries
20 with it a penalty, correct?

21 A No. Every submeasure does not carry a penalty if there
22 is no activity associated with that particular submeasure.

23 Q Okay. Well, let me clarify my question. If every
24 single submeasure, if there is activity and if there is a
25 violation, there would be a penalty for that violation, correct?

1 A Yes.

2 Q So, for example, if there are 75,000 submeasures there
3 would be a penalty for failure for every single one of the 75,000
4 if it occurred, correct?

5 A No, in response to the question. You didn't -- no.
6 You didn't say that they were non-compliant, you just said --

7 Q Well, if I didn't, I meant to. So let me try again. if
8 there are 75,000 penalties -- I'm sorry, if there were 75,000
9 submetrics, each and every violation of every one of those 75,000
10 submetrics would carry with it a penalty under your plan,
11 correct?

12 A Yes.

13 Q And if the failure is severe, the penalty would be
14 \$25,000 per month per ALEC, correct?

15 A Yes.

16 Q Now, how did you establish \$25,000 as the maximum
17 penalty?

18 A Well, we were looking to have penalty amounts
19 established that would actually incent or motivate BellSouth to
20 comply in terms of providing support to the ALECs so that we
21 could provide quality support to the consumers.

22 And just to give an analogy in terms of setting fines,
23 I am often reminded about in Georgia we have what is called the
24 HOV lane. Everybody I'm sure if you have traveled to Georgia you
25 know our traffic is horrendous, it is ridiculous. And you can

1 sit in traffic probably two hours trying to get home. But they
2 establish the HOV lane, but the key is you can only get in the
3 HOV lane and bypass the traffic if you carpool. It has to be at
4 least two people, two or more people in the car.

5 And what the State of Georgia did was they set a fine
6 that if I, Cheryl, if I get in the HOV lane and I am not car
7 pooling, I don't have any other passengers in the car with me, I
8 incur a \$500 fine. And so that \$500 fine, it doesn't cost the
9 State of Georgia \$500 for me to get in the HOV lane, but what --
10 but they know that \$500 is enough -- knowing that you may have to
11 pay \$500 if you get in that lane inappropriately is enough to
12 convince people not to get in the that lane unless they are car
13 pooling. Because, of course, car pooling is what they are trying
14 to motivate.

15 And I think if you think of that particular analogy you
16 can think of what the ALECs were going through as we try to
17 develop an amount to incent BellSouth in the case, \$25,000 for
18 the most severe level of violation. It was thought to be enough
19 of an incentive to get BellSouth to provide compliant support.
20 It may not be enough, because if you go back to the HOV
21 illustration for me as a worker in Georgia, \$500 is a lot of
22 money to pay just because I was trying to get in this HOV lane.
23 But for Ted Turner maybe \$500 is not enough. So in the case of
24 BellSouth, maybe 25,000 is not enough. But we were looking for
25 an amount that we thought would be significant enough to incent

1 proper behavior.

2 Q In Georgia is a violation for driving in the HOV lane
3 \$500 or is it \$150?

4 A 500 was what I understood it to be.

5 Q Okay. You're sure it's not 150?

6 A I was just told 500.

7 Q Okay.

8 COMMISSIONER DEASON: Mr. Carver, do you have any
9 evidence that it is 150? I mean, did you get caught?

10 MR. CARVER: I have never been caught in those
11 instances when I have driven in the HOV lane. So, no, I don't.
12 But I was curious. I mean, if traffic gets heavy, I wanted to
13 know.

14 (Laughter.)

15 BY MR. CARVER:

16 Q As I understand your position, you are saying that
17 \$25,000 is what you think is sufficient to motivate BellSouth, is
18 that correct?

19 A We are hopeful that it is.

20 Q So you are not claiming that \$25,000 corresponds to
21 some economic harm to the ALEC, are you?

22 A No.

23 Q How did you pick \$25,000 as opposed to 20,000, or
24 28,000, or 32,000?

25 A As I mentioned earlier, we just collectively decided

1 that 25,000 would be the amount. Again, it may be that the
2 25,000 is enough and it may not be enough.

3 Q Did you do any sort of a study, or analysis, or a
4 calculation to arrive at 25,000 specifically?

5 A No.

6 Q So, basically, the ALECs just kind of got together and
7 said, well, 25,000 sounds good, let's try that. Is that
8 basically the process?

9 A No. The ALECs looked at what was happening to their
10 business, and we are all being impacted negatively, and
11 collectively thought that 25,000 may be enough to incent
12 BellSouth to provide compliant support.

13 Q But what I'm getting at is 25,000 is basically just
14 your opinion. You have no analysis to support the idea that
15 25,000 is exactly the right amount, correct?

16 A Correct.

17 Q And -- well, I think I asked this question in regard to
18 25,000, but let me ask you generally as to all of the various
19 penalties in your plan. You are not claiming that any of these
20 reflect the economic loss to the ALEC in any specific way, are
21 you?

22 A No. And I think that is because the economic cost to
23 us is almost impossible to pinpoint. So it's not a fixed amount
24 per person per violation.

25 Q And I'm just using this as an example, but one of the

1 measures that I believe proposed by the ALECs is timeliness of
2 response to request for BellSouth to CLEC trunks. And it's on
3 Page 11 of Ms. Kinard's Exhibit 4. And the standard that is
4 listed there is a benchmark. It's 95 percent in seven days. And
5 so I can just understand the way your plan would work, for a
6 particular transaction if BellSouth responded in seven days and
7 five minutes, that would be a miss?

8 A Hold on one second, I'm trying to find the measure.

9 Q Okay. It's Exhibit KK-4, Page 11.

10 A Just let me read it, please, if you don't mind.

11 Q Okay. And if you look at the very bottom, that is
12 where the benchmark is.

13 A The question?

14 Q Yes. The measure is 95 percent in seven days. So my
15 question is if in one particular instance it took BellSouth seven
16 days and five minutes to provide this information, under your
17 plan that would be a miss, correct?

18 A Yes, it would. But BellSouth would have had seven days
19 to provide the response, and we may have had a large customer
20 account that we need -- a large customer account at stake, and we
21 wouldn't want to be committing that we would have capacity for a
22 customer like a Delta unless we had some assurance that we could
23 get our -- build our capacity to support their need.

24 Q Well, if BellSouth provides you that assurance in seven
25 days and five minutes as opposed to seven days, do you believe

1 that causes you some sort of harm?

2 A I think we are always harmed when we don't get
3 commitments responded to in a timely fashion. When we wait an
4 extensive period of time for just basic information so that we
5 could determine whether or not we can provide customers --
6 service to a customer, or give a customer something as basic as a
7 due date.

8 Because to most customers -- I mean, I have been in
9 sales most of my career. I am a software developer also, but was
10 in sales probably for 12 or 15 years between AT&T and IBM. And I
11 just can't imagine not being able to give a customer something as
12 simple as a due date. It is already competitive in the
13 marketplace trying to provide -- you know, sell with different
14 competitors in the marketplace, and then you can't even give
15 something as basic as a due date. It would be surprising that
16 any of them would do business with any of us ALECs because we
17 have to wait so long for just a minimal piece of information like
18 a due date.

19 Q But in this particular instance the ALECs have made the
20 determination that seven days is an appropriate amount of time.
21 So I assume that if you can get -- if you can get the advice of
22 the due date in seven days then you could serve your customers.
23 So my question is if it is seven days and five minutes, do you
24 believe that is going to have some negative impact on your
25 ability to serve your customer?

1 A Yes.

2 Q So that extra five minutes makes all the difference?

3 A Well, what made the difference was BellSouth not
4 providing the response in the committed time frame.

5 Q Okay. But if they had provided the response in 6 days,
6 23 hours, and 55 minutes that would have been fine, it wouldn't
7 have harmed your customer, and you would have been able to
8 conduct your business, correct?

9 A But benchmarks are set at a level that provides ALECs
10 with a meaningful opportunity to compete. And so by not meeting
11 the commitment, basically BellSouth has put the ALECs in a
12 position of not being able -- not being able to compete in the
13 marketplace.

14 Q Well, my question doesn't go to the benchmark. I'm not
15 asking about the 95 percent, I'm asking about the interval. And
16 I just want to be sure I understand your position. Since the
17 ALECs are proposing seven days, your position is that if we
18 complied and gave you the information in five minutes less than
19 seven days, you could conduct your business. But if we are five
20 days (sic) over the seven day limit, then that is going to create
21 some inability for you to serve your customers, is that your
22 position?

23 A Yes. And it's probably impacting our business to not
24 get it in five days versus having to wait seven, but we are
25 having to just do the best we can with the intervals that we

1 have.

2 Q So in your view you have proposed an interval that is
3 already going to cause a negative impact on your business?

4 A Well, it could.

5 Q Okay. The general point I'm getting to is that in the
6 ALEC plan there is a very bright line. If there is a particular
7 interval, if there is a particular performance standard, if it is
8 missed by any small amount, that counts as a miss. There is no
9 forgiveness, correct?

10 A That's not true, because the very nature of the
11 benchmark, you are getting forgiveness. It wasn't 100 percent of
12 the responses provided in seven days, it was 95 percent. So five
13 percent of those are not even provided in seven days.

14 Q Okay. Well, again, we are not talking about that part,
15 we are at an earlier stage in the process. We will get to the
16 benchmark in just a moment. But what I'm talking about now is
17 the way you count hits or misses, if you will. Acceptable
18 performance and unacceptable. And across the board in the ALEC
19 plan, let's say you have got an interval of three hours. If
20 BellSouth performs in three hours and five seconds, that is a
21 miss, correct?

22 A Would you repeat that again, I'm sorry.

23 Q Yes. Again, we are not talking about the benchmark, we
24 are talking about the part in which we are tabulating particular
25 events and whether BellSouth meets the standard or not. And the

1 question I'm asking you is under the ALEC plan if an interval,
2 for example, is three hours and it takes BellSouth three hours
3 and five seconds, that counts as a miss for that particular
4 transaction, correct?

5 A Yes.

6 Q Now, in your plan, the minimum penalty is \$2,500,
7 correct?

8 A Yes.

9 Q And did you do any sort of study or calculation that
10 allowed you to reach the conclusion that any violation by
11 BellSouth will necessarily result in \$2,500 of harm to the ALEC?

12 A As I had stated previously, we had set specific dollar
13 amounts based on what we felt would be an amount that would
14 incent or motivate BellSouth to provide compliant support.

15 Q And is \$2,500 then just the ALECs' opinion as to where
16 it should be?

17 A Probably it would be the Commission who would set the
18 final dollar amount. But the ALECs view that 2,500 could, in
19 fact, incent BellSouth to provide compliant support. It may not
20 be enough.

21 Q Okay. But at this point it is the ALECs' best guess,
22 right?

23 A It is the ALECs' best representation of what may be
24 appropriate to motivate BellSouth to provide compliant support so
25 we can satisfy our customers.

1 Q All right. Thank you. Now I would like to talk a
2 little bit about benchmarks. Did you hear -- well, let me ask
3 you, do you know if the lowest benchmark in the ALEC plan is 95
4 percent?

5 A I would have to look at our benchmarks. I don't recall
6 that being the lowest one. I'm not sure.

7 Q Well, I tell you what, actually I covered that with Ms.
8 Kinard on Wednesday. So since that is not exactly your part, we
9 don't need to go through it again. For purposes of my question
10 let's just assume that we are dealing with a 95 percent
11 benchmark.

12 A Okay.

13 Q So if you will accept that for the next few questions.
14 If BellSouth's performance to a particular ALEC for a month were
15 94.99 percent with a 95 percent benchmark, that would be a
16 failure, correct?

17 A Yes. That means that you would have -- more than 5
18 percent of our customers would have been served at a level. That
19 does not prevent us -- provide us a meaningful opportunity to
20 compete.

21 Q And what would be the penalty in that particular
22 instance?

23 A That would be the 2,500.

24 Q Okay. Now to make that determination wouldn't you have
25 to go through the calculation that is on Table 3 of Exhibit 1 on

1 Page 15?

2 A Yes, you would.

3 Q Okay. Now, you came up with that 2,500 number pretty
4 quickly. Did you go through that whole formula in your head that
5 is listed there under applicable consequences?

6 A No, I looked at another table.

7 Q Okay. Well, as I understand your testimony from your
8 deposition last week, to determine the amount of a penalty, you
9 would have to apply this formula that takes up two lines in the
10 box on Page 15, is that correct, that formula would have to be
11 applied to determine the penalty?

12 A Yes, the formula is applied to determine penalties.

13 Q Okay. So, 2,500 you just took from a chart somewhere
14 that has already applied the formula?

15 A Well, again, two things. One, I could look at a chart
16 that we had that is in the form, but you actually determine the
17 penalty amount by applying the formulas that are in the remedy
18 calculation tables.

19 Q Okay. We are still assuming a 95 percent benchmark.
20 If BellSouth delivers performance to the ALEC at 90 percent, that
21 is a severe failure, correct?

22 A Yes, it is.

23 Q And that would prompt a \$25,000 penalty, correct?

24 A Yes, it would.

25 Q Now, on Wednesday did you hear Ms. Kinard tell us that

1 as a result of disaggregation that there will likely be some
2 submetrics with very small numbers in them?

3 A I don't recall her specifically saying that, but that
4 could be true.

5 Q Yes. I think what she said in response to a question
6 was that there might be some submetrics with no activity at all,
7 there might be some with one or only two measurable events. Does
8 that refresh your recollection about what she said?

9 A I remember there may be some with no activity at all.

10 Q Okay. The small amounts of activity, that is the part
11 you don't remember her saying?

12 A She testified I think it was on Tuesday, I just can't
13 remember everything she said verbatim.

14 Q Okay. Well, the record will reflect what she said, and
15 I'm not trying to test your memory. So take this next question
16 as a hypothetical if you want. We are still using a 95 percent
17 benchmark. In any submetric with four events or less, a single
18 failure by BellSouth will result in BellSouth failing that
19 submetric and paying a penalty, correct?

20 A That is not correct.

21 Q It's not?

22 A No.

23 Q Okay. Well, you have told me that each penalty, each
24 event -- you told me the submetrics are going to have -- if there
25 is one event in the submetric and BellSouth fails it would pay a

1 penalty, correct?

2 A Would you repeat the statement?

3 Q Okay. Let me try it a different way. If we have four
4 events and BellSouth fails one of them, then that is a
5 performance level of 75 percent, correct?

6 A Yes.

7 Q And with a 95 percent benchmark, 75 percent is going to
8 be a failure, correct?

9 A Not in our plan because of the benchmark adjustment
10 table.

11 Q You are referring to the table on Page 14 of 52 in
12 Exhibit 1?

13 A Yes, I am.

14 Q Okay. Now, as I read that table it appears that the
15 benchmark, regardless of sample size, would only be adjusted down
16 to 80 percent, is that correct?

17 A No. In this particular one it was adjusted -- for a
18 sample size of five it was adjusted to 80 percent.

19 Q Well, on the table on Page 14 it begins with five,
20 correct?

21 A Yes.

22 Q There is nothing indicated for four, or three, or two,
23 or one, is there?

24 A It's not contained here, but BellSouth would be allowed
25 to miss one.

1 Q Okay. So what you are telling me is that this chart
2 doesn't accurately reflect the way your plan would work?

3 A I didn't say that.

4 Q Okay. But that's what I'm asking you. Because in the
5 chart it appears that the lowest adjustment would be to 80
6 percent. So -- well, let me ask you to confirm that first of
7 all. In this chart there is no number here smaller than 80
8 percent, is there?

9 A There is no number smaller than 80 percent because with
10 a sample size of five, having missed one you wouldn't need to go
11 any lower than 80 percent. But had you put a sample size of 4
12 here and 75 percent, it would have been appropriate.

13 Q Okay. Well, the chart doesn't list anything for one,
14 or two, or three, or four, does it?

15 A No, it does not.

16 Q Okay. Are you saying -- I want to make sure I
17 understand what you are saying. You are saying that under your
18 plan there would be adjustments to below 80 percent for one, or
19 two, or three, or four, it's just that this chart doesn't reflect
20 that, is that right?

21 A BellSouth -- what our plan provides is for BellSouth at
22 the lowest sample sizes, even though a given benchmark percent
23 has been set, if meeting that particular benchmark can only be
24 accomplished by BellSouth having perfect performance, meaning not
25 missing one, then we would always adjust down such that they can

1 meet the benchmark without having had perfect performance.

2 Q My question was a little bit different, though, because
3 I wanted to try to see if I can align what you are saying with
4 what this chart shows. So, again, let me ask you. The chart
5 shows five events, it doesn't go below that. And it shows 80
6 percent, it doesn't go below that. So are you saying that your
7 plan really does have greater levels of adjustment, if you will,
8 for one, or two, or three, or four, but it's just not reflected
9 on the chart, is that what you are saying?

10 A Yes.

11 Q Okay. So if the sample size is four, what would you
12 adjust the benchmark down to?

13 A Probably 75 percent.

14 Q You say probably; are you sure about that?

15 A I mean, it's a matter of just doing -- I would have to
16 do the math.

17 Q Okay. Well, the reason I ask is because, again, the
18 evidence that you have submitted ends at 80 percent. So if you
19 are telling us that there is more forgiveness for even smaller
20 sample sizes, then I would like to know precisely what that is.
21 And if you can't tell us, that's fine. But I just want to be
22 sure that if you are going to give us numbers that you are
23 certain about them. So, with that understanding, for four it
24 would be 75 percent?

25 A I think what is important to note is that -- and I said

1 it previously, but I will say it again. If obtaining the
2 benchmark percent can only be done by BellSouth having perfect
3 performance, meaning missing -- have no failed transactions, then
4 there will be an adjustment made so that BellSouth can miss one
5 and still be considered compliant. I think that is really the
6 rule.

7 Q Yes, ma'am. And I think we understand the rule. What
8 I'm asking you is since your chart doesn't cover it, exactly how
9 you would apply that rule, because I think we need to know what
10 the standards are. Now, again, are you able for one, two, three,
11 and four to tell me what the percentages would be?

12 A Not sitting here, no, I cannot.

13 Q Okay. Can you describe to me the calculation that you
14 would go through to do that? Is there a formula, for example?

15 A I would divide the sample size by one, the sample size
16 into one.

17 Q Okay. And is that formula stated anywhere in the plan?

18 A No, it's not. You mean the verbiage?

19 Q Yes. I mean, and again, you are describing to me
20 something that is not on the chart that is attached to your
21 testimony, so I'm just asking you --

22 A I think the chart is illustrative of a method, and it
23 is the method I have tried to articulate.

24 Q I understand. And you have given us the formula for
25 smaller sizes. So what I'm asking you is is that formula set

1 forth in any of the documents that you have filed?

2 A Give me one second, please. The information is not
3 expressed, per se, as I have conveyed it, but is implicit in what
4 is contained on Page 14 that is entitled applying adjustment for
5 small data sets where necessary.

6 Q Okay. And you're talking specifically about this first
7 paragraph that is labeled Number 2 on Page 14?

8 A Yes.

9 Q That is the part that you believe it is implicit in?

10 A Yes.

11 Q Okay. I believe you testified in your deposition that
12 you personally have gone through the process of determining the
13 number of submeasures in the ALEC plan. Do you recall that?

14 A Yes, I do.

15 Q And I think what you told me was that by your
16 calculation the total number of submetrics is 10,000 exactly. Do
17 you recall that?

18 A I recall saying that.

19 Q Did you create a document to show how you arrived at
20 that number, the 10,000?

21 A There was no formal document prepared.

22 Q Okay. So you didn't do anything like Mr. Coon's
23 Exhibit DACR-1, for example, of the chart that would show what
24 you multiply by what to get that?

25 A I may have had some scratch information, but not a

1 formal document that was --

2 Q And you don't have any sort of notes or any sort of
3 written record of how you did that calculation, is that correct?

4 A No.

5 Q Did you hear Ms. Kinard say on Wednesday that for some
6 types of disaggregation she wouldn't know the number of
7 categories without getting the information from BellSouth?

8 A I think I recall her saying that.

9 Q And did you hear her say specifically that for volume
10 she wouldn't know how many categories to use without looking to
11 BellSouth's product interval guide?

12 A Yes.

13 Q Okay. When you did your calculation, what process did
14 you use to determine the appropriate number for volume?

15 A I looked at the product interval guide.

16 Q So you have a copy of BellSouth's product interval
17 guide?

18 A Yes, I do.

19 Q And what number did you use?

20 A I used three.

21 Q And for the trouble type, did you hear her say
22 Wednesday that for trouble types she would have to look to the
23 trouble codes that BellSouth uses?

24 A Yes, I recall that.

25 Q And you did your calculation, I guess, sometime before

1 your deposition last week, correct?

2 A Yes.

3 Q And when you did your calculation, did you have a copy
4 of the sheets that show BellSouth's trouble disposition codes?

5 A No, I did not.

6 Q Okay. So, how did you determine how many trouble codes
7 to use?

8 A I had omitted that, so it was not included.

9 Q Okay. So you just left that one out?

10 A Inadvertently.

11 Q Are there any others that you inadvertently left out?

12 A Yes.

13 Q Okay. Which ones?

14 A MSA.

15 Q That would be geography?

16 A Yes.

17 Q What else?

18 A I can't remember everything, but I did determine that
19 there were some omitted.

20 Q Okay. Well, I think there are seven more categories
21 that we haven't discussed, so let me just go through each one and
22 if you can tell me the number you used. Interface type?

23 A I believe I used three.

24 Q Preorder query type?

25 A This is difficult to do because I don't have the sheet

1 that I was working with in front of me, but I --

2 Q If you don't remember what you did, that's fine, but
3 I'm trying to see how someone could come up with 10,000. And I
4 understand you don't have the written documents or any notes, but
5 to the extent you remember what you did, I would appreciate it if
6 you could tell me. Again, if you can't, that's fine. So for
7 preorder query type?

8 A I think what I did with preorder query type was to take
9 the queries that were in BellSouth's SQM.

10 Q You just don't remember the number?

11 A Not off the top of my head. I think it was seven, but
12 I can't remember. I can't be exact.

13 Q Okay. Let's go back to geography for a second. If you
14 were going to do geography, you would use 13, correct?

15 A I thought it was 11, but if you say 13 --

16 Q Well, there are 11 MSAs, but I assume you would want
17 something for all of the areas in the state that aren't in an
18 MSA, so that would be 12. I mean, you would want that kind of
19 information, wouldn't you?

20 A Well, we had specified MSA, so I thought there were 11
21 MSAs.

22 Q Okay. Well, MSA, of course, stands for metropolitan
23 service area. So if you only take the 11 MSAs, you are only
24 going to know what kind of service you are getting in the
25 metropolitan areas. So my assumption is you might want to serve

1 some rural customers, so you might want to know what is happening
2 outside of the major cities. Now, if I'm wrong about that, if
3 you don't need that, I guess it would be 11. But is that
4 information you would want?

5 A I'm sure it's information that would be necessary.

6 Q So that is 12. And you would probably also want one
7 that has the state total?

8 A I'm sorry?

9 Q Would you also want by geography something that had all
10 the state or would you just want the breakdowns?

11 A Beyond MSA, I'm not familiar with the others. There
12 have not been any other areas that we have been --

13 MR. CARVER: I'm sorry. I just had a severe failure
14 here. I will work around it.

15 CHAIRMAN JACOBS: It must be catching.

16 MR. CARVER: It must be. I'm going to move to the left
17 of the puddle and I will continue.

18 BY MR. CARVER:

19 Q Product. How many categories did you use for product?

20 A It depends on the measure, but 41.

21 Q And for service order activity, how many did you use?

22 MR. PRESCOTT: Chairman Jacobs, if I might impose an
23 objection at this point. I think Ms. Bursh has made clear that
24 in her calculation she omitted certain things that should have
25 been included. And there is no dispute that that number --

1 excuse me, the number that she initially provided omitted things
2 and is therefore inaccurate.

3 So I think to continue along this line is just a waste
4 of our time. I think it's clear that she has indicated there was
5 error in her initial calculation, that she omitted certain things
6 that should have been included. And this is just redundant.

7 MR. CARVER: Well, I didn't realize they were taking
8 that position, so I was trying to find out exactly what she did.
9 At this point if they are basically saying that they will
10 stipulate that her 10,000 number is inaccurate, then I will
11 accept that.

12 THE WITNESS: Yes, uh-huh.

13 MR. PRESCOTT: We will.

14 MR. CARVER: Very well. Thank you. Then I have
15 nothing further.

16 CHAIRMAN JACOBS: Very well. Staff.

17 CROSS EXAMINATION

18 BY MR. FUDGE:

19 Q Good morning, Ms. Bursh.

20 A Good morning.

21 Q Were you here yesterday when Mr. Allen enumerated
22 several specific examples of the problems COVAD was having with
23 BellSouth?

24 A Yes.

25 Q And do you remember that Commissioner Palecki asked

1 BellSouth and COVAD to work together to see what the penalty
2 payments would be under BellSouth's plan for those specific
3 examples?

4 A Yes.

5 Q Do you think that if you were to work with BellSouth,
6 that you could develop how much the penalties would be under the
7 ALEC plan?

8 A Yes. If BellSouth will make available the entry data
9 points we would need, we would be glad to do it. But they have
10 the critical data. You need to know the BellSouth results as
11 well as the COVAD results.

12 MR. LACKEY: Mr. Chairman, on behalf of BellSouth we
13 are already committed to getting whatever information we can. We
14 are still trying to determine what is available, I'm assuming.

15 THE WITNESS: Does that mean that BellSouth will
16 provide us the data points we would need so that we could apply
17 the calculations to determine the remedies?

18 MR. LACKEY: BellSouth is committed to providing all
19 the data necessary, assuming we have it. We just don't know yet
20 what is available. We understand what the exercise is and we are
21 going to cooperate. Anything we have got, anything anybody needs
22 to make the calculation.

23 CHAIRMAN JACOBS: Staff, is this going to be an exhibit
24 you are going to request?

25 MR. FUDGE: Yes, sir. We would like to have a

1 late-filed exhibit designated as Exhibit 26.

2 CHAIRMAN JACOBS: It sounds like the exhibit is going
3 to be prepared by the witness, but requires information from
4 BellSouth?

5 MR. FUDGE: Yes, sir.

6 CHAIRMAN JACOBS: Can we get timetables? It sounds
7 like you've got to come back and tell us --

8 MR. LACKEY: Mr. Coon went back to Atlanta on the 6:00
9 o'clock flight this morning, and they are trying to figure out
10 right now what it is going to take to do it and how long we can
11 get it done. As I told you last evening, one of the problems we
12 have is that one of the key players left to get married today.
13 So I can't get him and can't get an answer. But they have
14 promised to have me some sort of a response before the end of the
15 day about what we have got and what we can do.

16 CHAIRMAN JACOBS: Very well. So we will identify this
17 as Late-filed Exhibit 26. And we will saddle back up at the end
18 of the day and figure out the scheduling on it. Do you want to
19 give it a title?

20 MR. FUDGE: ALEC penalty plan for COVAD examples.

21 (Late-filed Exhibit 26 marked for identification.)

22 CHAIRMAN JACOBS: Okay.

23 BY MR. FUDGE:

24 Q Ms. Bursh, will you please turn to Page 38 of your
25 direct testimony?

1 A Okay. I'm on 38.

2 Q Would you please read Lines 16 through 19?

3 A Yes. "If the ILEC fails to remit a consequence payment
4 by the 15th business day following the due date of the data and
5 the reports upon which the consequences are based, then it should
6 be liable for accrued interest for every day that the payment is
7 late."

8 Q Are you proposing that this method be applied to both
9 Tier-1 and Tier-2 disputes?

10 A Tier-1 and Tier-2 disputes, or --

11 Q Payments.

12 A If the payments are received late, it should apply for
13 both Tier-1 to this -- yes.

14 Q Ms. Bursh, in your testimony you stated that payments
15 should be on or before the 15th business day following the due
16 date of the reported performance results upon which consequences
17 are based. And in Mr. Coon's direct testimony, Page 43, Lines 6
18 through 16, he designated the method by which the payments would
19 be made. For example, for Tier-1 it would be by check to the
20 ALEC, and for Tier-2 it would be by check to the Treasury. Do
21 you agree with that method of payment for Tier-1 and Tier-2
22 noncompliance?

23 A In terms of the form of payment being a check?

24 Q Yes.

25 A Yes.

1 Q You were asked earlier about small sample sizes. Were
2 small sample size -- or if sample sizes are small, compliance for
3 measures with benchmarks should be determined using the
4 adjustment table for a 95 percent confidence interval, is that
5 correct?

6 A No. That particular approach which I think you are
7 referring to as the BellSouth adjustment table, the ALECs feel
8 that it provides for an additional level of mitigation. They are
9 allowed to fail more, provide more noncompliance support before a
10 remedy would be incurred.

11 Q Do you agree that the ALEC sample benchmark adjustment
12 table is not a statistical appropriate?

13 A Yes.

14 Q Why is a nonstatistical approach superior to a
15 statistical approach?

16 A Well, we feel that the approach presented by the CLECs
17 or the one contained in the CLEC plan does not provide for
18 additional levels of mitigation because we feel that mitigation
19 has already been provided for in the setting of the benchmark
20 itself. For instance, you are not asking for 100 percent of
21 orders to be completed in two days, you are asking for 95
22 percent. So five percent are going to be allowed to not meet
23 that interval anyway.

24 Q In BellSouth's proposed penalty payment mechanism, do
25 you agree that the penalty is based on some estimate of the

1 number of discriminatory transactions?

2 A Could you repeat that one more time?

3 Q Sure. In BellSouth's proposed penalty payment
4 mechanism, do you agree that the penalty is based on some
5 estimate of the number of discriminatory transactions?

6 A To be honest, I'm not sure what it is based on. I just
7 know that they pay on -- very few transactions are in violation.

8 Q Does BellSouth propose to estimate the total number of
9 transactions that did not receive parity service or only the
10 portion of transactions for which disparate service was detected?

11 A Could you say that one more time?

12 Q Sure. Does BellSouth propose to estimate the total
13 number of transactions that did not receive parity service or
14 only the portion of transactions for which disparate service was
15 detected?

16 A For some reason I need -- could you read it a little
17 bit slower just one more time. I'm trying -- for whatever reason
18 I'm missing the point of the question.

19 Q Okay. Does BellSouth's plan propose to estimate the
20 total number of transactions that did not receive parity service
21 or only the portion of transactions for which disparate service
22 was detected?

23 A There is something in that question, I'm not able to
24 respond. I can't -- I'm not understanding the question. Could
25 you restate it maybe a different way, if you would, please.

1 Q In BellSouth's plan they are estimating the total
2 number -- they are estimating the number of discriminatory
3 transactions based on the total -- based on a portion of the
4 transactions for which disparate service was detected.

5 A So you are saying are they basing their payment on a
6 portion of the transactions that are in violation, is that the
7 first part of question?

8 Q Yes, only the ones that they detected that disparate
9 service occurred.

10 A I know they are not paying on all the transactions that
11 incurred a violation for sure, based on the illustrations that
12 they have in their documentation and that Dave Coon found.

13 Q Do you believe that this is appropriate?

14 A No.

15 Q Okay. Would you please refer to Mr. Coon's Exhibit 6,
16 Page 4. It provides a calculation for Tier-1 remedies.
17 Ms. Bursh, how would these calculations need to be changed to
18 estimate the total number of transactions that did not receive
19 parity service?

20 A I'm really unable to provide any recommendation, you
21 know, respond to that question.

22 Q Okay. That's fine. Go ahead.

23 A No, you go ahead.

24 Q In the ALECs' proposed penalty payment mechanism, do
25 you agree that penalties are based on the presence of

1 discrimination in a particular measure where the greater
2 penalties as the statistical certainty of discrimination
3 increases?

4 CHAIRMAN JACOBS: Could I get you to slow down just a
5 little bit, Mr. Fudge.

6 MR. FUDGE: I'm sorry.

7 BY MR. FUDGE:

8 Q In the ALECs' proposed penalty payment mechanism, do
9 you agree that the payments -- that the penalties are based on
10 the presence of discrimination in a particular measure with
11 greater penalties as the statistical certainty of discrimination
12 increases?

13 A Yes.

14 Q The previous question that I asked about how the
15 calculation needs to be changed, who would be best able to answer
16 that question?

17 A I don't think that just here in the hearing room we
18 could formulate that kind of a recommendation. I think it would
19 take some time and thought and engage some technical people into
20 what that modification would need to be. I do know that it is
21 inappropriate, because when I look at the effect on this
22 particular sheet that 96 of the -- that there were 96 violations,
23 and of the 96 violations only 29 were remedied. There is
24 something terribly inappropriate about that. As to how it should
25 be changed, that would be something, again, that couldn't be done

1 here in this particular forum, but in a different venue.

2 MR. FUDGE: Thank you, Ms. Bursh.

3 THE WITNESS: Thank you.

4 CHAIRMAN JACOBS: Questions, Commissioners. Redirect.
5 I'm sorry, Commissioner Palecki.

6 MR. PRESCOTT: Ms. Bursh, can you --

7 CHAIRMAN JACOBS: Commissioner Palecki has some
8 questions.

9 MR. PRESCOTT: Oh, I'm sorry.

10 COMMISSIONER PALECKI: On the issue of disputes
11 regarding penalties, you believe the Commission should settle all
12 of these disputes. And I'm concerned that there may be very many
13 of them and that this might occupy the Commission on a full-time
14 basis handling disputes between the ALECs and BellSouth. Do you
15 have any other type of dispute resolution mechanism that might
16 save this Commission from making resolution of disputes on these
17 measures a full-time business?

18 THE WITNESS: Well, I definitely don't want this to be
19 a full-time business for you, because I know your time can be
20 better spent attending to other matters. I would think the only
21 proactive thing we can do is just to make sure that the plan is
22 as close to self-executing as possible and that we put the time
23 and effort into a plan that would take away some of the disputes.
24 I think, you know, if you have a good solid plan maybe that could
25 eliminate the disputes, because it would be clear to all parties

1 that the remedy that was incurred or not incurred was, in fact,
2 correct. So I think having a more -- having a plan be approved
3 by this Commission that is, in fact, a truly effective remedy
4 plan is going to be probably the only proactive -- or the most
5 proactive thing that we can do.

6 COMMISSIONER PALECKI: I guess what I'm concerned about
7 is there are some areas, provision of incorrect information, for
8 example, that might not fit into an exact category for one of the
9 measures. And I can anticipate that there could be many
10 disputes. Would you have any objection to a process that would
11 have an impartial third party make the first determination prior
12 to the Commission itself being asked to resolve these issues?

13 THE WITNESS: Well, since I am representing the ALEC
14 coalition, I probably would need to go back and -- and we meet on
15 a regular basis, but take it to the coalition.

16 COMMISSIONER PALECKI: And there is already in place
17 for consumer complaints a process where there are first informal
18 dispute mechanisms where the Commission staff will hear a dispute
19 prior to the Commission itself making a resolution. Would that
20 be a possible means of working through disputes without asking
21 the Commission to make these decisions?

22 THE WITNESS: Just speaking for myself, and I would
23 think for AT&T, that seems reasonable. But, again, I hope that
24 we can have a plan that is going to eliminate some of the
25 disputes. And another thing we can do is begin to as we have

1 disputes, and hopefully they will be very few, begin to document
2 them and, you know, retain information on kind of once we see
3 them, we have one, figure out how did it come about so that we
4 can go in and incorporate something in our remedy plan such that
5 we could eliminate that happening in the future.

6 So I think we can -- we can learn from the disputes as
7 we go forward so that we don't continue to have the same
8 disputes. And we could also learn from also what is happening in
9 other parts of the region and share that information, you know,
10 amongst the different states. I think that will be helpful, too,
11 because we will all be at different points.

12 COMMISSIONER PALECKI: Thank you. Now, if this
13 Commission wanted to approve a plan that was somewhere between
14 the BellSouth plan and the ALEC plan, what are the most important
15 areas that the Commission should look at? And limit it to three
16 or four. I don't want to hear a laundry list of all of them.

17 THE WITNESS: First of all, I think -- I know the
18 dollar amount for missing a measure, and I'm not talking about a
19 particular measure, but missing a measure, it needs to be correct
20 and appropriate enough to eliminate the inappropriate or
21 noncompliant behavior. I think that just has to happen. That no
22 matter what you fail, the key is not failing any measures, not
23 plan to fail these two because they don't cost me as much. But
24 the ones that maybe impact me the most, I won't fail there.
25 That's not going to help us as CLECs. But I think ensuring that

1 we have incentive amounts per measure that are enough to deter
2 BellSouth from providing noncompliant support. I think that is
3 essential, otherwise it's going to be chaos.

4 And, secondly, covering all the areas upon which the
5 ALECs rely upon BellSouth. I mean, they are really our
6 competitor, but yet we are dependent on them and we can't deliver
7 quality service without using part of that infrastructure. So,
8 making sure that the measures cover the right scope of activities
9 upon which the CLECs must rely.

10 COMMISSIONER PALECKI: Having worked for a utility, I
11 have concerns with regard to customer retention. When I worked
12 for the utility I worked with, which was a small natural gas
13 utility, we had certain customers we considered key customers and
14 we would retain those customers at all cost.

15 Now, I guess I'm concerned about where there are very
16 large customers that are important to the utility, that there
17 will be a conscious decision to take the penalty in order to
18 retain the customer. In order to make sure the ALEC isn't able
19 to serve the customer. What sort of remedy would you have in
20 mind under a circumstance like that?

21 THE WITNESS: Well, I am equally concerned because I
22 supported national accounts when I was in sales, and it only
23 takes one major disaster to lose a Delta Airlines or a Georgia
24 Power. It's kind of difficult, because if you lose --

25 COMMISSIONER PALECKI: Well, I guess what I'm saying,

1 if you have a million-dollar-a-month customer, as a utility you
2 might very well be willing to pay several thousand dollars or ten
3 of thousands of dollars in penalties in order to retain that
4 customer. And is there a possible solution to that problem?

5 THE WITNESS: As I sit here I can't devise one that
6 will keep the plan self-executing and also keeping in mind
7 that -- you know, I'm sure staff wants one that is not too
8 complex to administer. But, I mean, that is the situation.
9 Because when you lose those big customers, everybody knows about
10 it. So you didn't really lose just -- and I use Delta, it didn't
11 have to be a Delta, but it could be Macy's for that matter. But
12 when I lose that customer, it's all other major accounts that may
13 leave me because they feel that I'm unreliable. But just through
14 my experience with -- I'm sorry, you were talking.

15 COMMISSIONER PALECKI: I was just saying those are the
16 customers that all of the ALECs as well as BellSouth are going to
17 be fighting for.

18 THE WITNESS: Well, I hope we are competing for all the
19 customers. Not just the big ones, but all of them. Because all
20 of them are important, but some clearly once you lose that
21 business it is more impacting.

22 COMMISSIONER PALECKI: I'm sorry, I interrupted you.
23 Could you finish your answer, please.

24 THE WITNESS: I forgot, I'm sorry. Oh, I know what I
25 was going to say. I just remember when I was in sales and I used

1 to implement -- well, PBXs and those kind of things, also. But
2 at that time we didn't ever put customers out of service and
3 things like that. That was just unheard of. Although it is
4 being more prevalent now because of the situation that we
5 currently find ourself in. But one thing I know for sure, this
6 is why I think we should have -- I mean, each measure needs to be
7 equally weighted in terms of the penalty for missing it is
8 significant. It's one thing to make a mistake with a big
9 customer, but when do you it over and over they are not going
10 tolerate it. They don't have to. And that is the thing.

11 It's not like you can do it one time, it may be that
12 you made the mistake in doing, you know, provisioning, maybe put
13 somebody out of service, which is awful. But, anyway. But then
14 let's say that happened, two months later they finally halfway
15 trust you, then they decide to migrate the rest of their
16 facilities over and something happens in the migration. And
17 sometimes in migrations you have a D and an N order, a disconnect
18 and a new. And you did the migration and the disconnects
19 happened, but lo and behold, the new order -- not the new, but
20 the part of the order that reestablishes the service gets lost.
21 Then we are definitely out. They are not going to do business
22 with us. They are going to get rid of us as fast as they can.

23 COMMISSIONER JABER: Before Commissioner Palecki leaves
24 that question about the large customer, explain to me the
25 Department of Justice's role. It seems to me that if any Bell

1 company targets the large customer like that and makes a decision
2 that might indicate willful behavior to be anticompetitive, isn't
3 that where the Department of Justice would kick in?

4 THE WITNESS: I'm not sure, but I think that, again,
5 there are subtle -- and I'm not being negative or whatever, but I
6 just know from being in that market and being in tech support and
7 being in the market fulfilling service -- provisioning service
8 for customers, the way that you can discriminate is so subtle.
9 It's not like you -- it's very overt. So maybe that does kick
10 in. But by the time you get it to the Department of Justice I
11 can imagine that you have lost at least half of your customers.
12 It's just not enough time. That process is too extensive to be
13 beneficial.

14 COMMISSIONER PALECKI: Thank you.

15 THE WITNESS: I'm sorry I couldn't given you a good
16 answer for the last question.

17 CHAIRMAN JACOBS: Redirect.

18 REDIRECT EXAMINATION

19 BY MR. PRESCOTT:

20 Q Ms. Bursh, will you turn to Page 14 of your first
21 exhibit.

22 A I'm on 14.

23 Q Do you remember Mr. Carver questioning you about the
24 benchmark chart?

25 A Yes.

1 Q And he asked you some questions about where it was
2 indicated that it would be -- sample sizes smaller than five
3 would be taken into consideration?

4 A Yes.

5 Q And on the line above the table, there is an indication
6 for a footnote?

7 A Yes, Footnote 16.

8 Q Could you read that footnote, please?

9 A Footnote 16 on Page 15 reads, "The table can be
10 expanded to include all possible data set sizes from one upward."

11 Q And is that what you were trying to explain in
12 reference to the sample size of four that he proffered?

13 A Yes.

14 MR. PRESCOTT: I have nothing further.

15 CHAIRMAN JACOBS: Exhibits.

16 MR. PRESCOTT: I would move Exhibit 25 into the record.

17 CHAIRMAN JACOBS: Without objection show Exhibit 25 is
18 admitted. And 26 is late-filed. Thank you, Ms. Bursh. You are
19 excused. Next witness.

20 Why don't we take ten minutes while we are transition.

21 (Exhibit 25 admitted into the record.)

22 (Brief recess.)

23 CHAIRMAN JACOBS: Go back on the record. Mr. Prescott,
24 you may call your next witness.

25 ROBERT MICHAEL BELL

1 was called as a witness on behalf of AT&T Communications of the
2 Southern States, Inc., and, having been duly sworn, testified as
3 follows:

4 DIRECT EXAMINATION

5 BY MR. PRESCOTT:

6 Q Would you state your name for the record, please?

7 A My name is Robert Michael Bell.

8 Q And what is your address?

9 A 180 Park Avenue, Florham Park, New Jersey 07932.

10 Q And by whom are you employed?

11 A By AT&T.

12 Q In what capacity?

13 A I work at AT&T Labs Research in the statistics research
14 department. And I guess my title is principal member of
15 technical staff.

16 Q Doctor Bell, did you cause to be prepared and filed 15
17 pages of direct testimony and 9 pages of rebuttal testimony?

18 A Yes, I did.

19 Q Do you have any changes or corrections to make to your
20 prefiled direct testimony?

21 A No.

22 Q Do you have any changes to your rebuttal testimony?

23 A No.

24 Q If I asked you the same questions today, would you
25 answer -- would your answers be the same as in your prefiled

1 direct and rebuttal testimony?

2 A Yes.

3 MR. PRESCOTT: I would request that the testimony be
4 entered in the record as if read.

5 CHAIRMAN JACOBS: Without objection show his testimony
6 entered in the record as though read.

7 MR. PRESCOTT: Thank you.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 **A.** My name is Robert M. Bell. My business address is AT&T Labs-
3 Research, 180 Park Avenue, Florham Park, New Jersey 07932.

4

5 **Q. PLEASE DESCRIBE YOUR EDUCATIONAL AND PROFESSIONAL**
6 **BACKGROUND.**

7 **A.** I received a Ph.D. in Statistics from Stanford University in 1980. From
8 1980 to 1998, I worked as a statistician at RAND, a non-profit
9 institution that conducts public-policy analysis. While at RAND, I
10 supervised the design and/or analysis of large multi-site evaluations in
11 the fields of preventive dentistry, drug prevention, and depression
12 care. I also headed the RAND Statistics Group from 1993 to 1995
13 and taught statistics in the RAND Graduate School from 1992 to 1998.
14 Since 1998, I have worked in the Statistics Research Department at
15 AT&T Labs-Research. I have authored or co-authored 50 refereed
16 articles on statistical analysis that have appeared in a variety of
17 professional journals. I am a fellow of the American Statistical
18 Association. I currently serve on the Panel to Review the 2000
19 Census organized by the National Academy of Sciences.

20

21 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

22 **A.** My testimony describes the statistical methodology the Florida Public
23 Service Commission should adopt for use in comparing BellSouth's

1 performance provided to itself and its affiliates with the performance it
2 provides to Alternative Local Exchange Companies (ALECs). I also
3 recommend an appropriate range for the parameter delta used in
4 connection with the statistical methodology. (Issues 11.C.1 and 2;
5 12.C.1 and 2)

6

7 **Q. WHY ARE STATISTICAL TESTS USEFUL TOOLS?**

8 **A.** Merely reporting averages of performance measurements alone,
9 without further analysis, does not indicate whether differences in
10 performance results for ALEC customers versus a retail analog reflect
11 actual discrimination or simply random variation. Once appropriate
12 measures and comparison samples have been established, statistical
13 tests compare the size of observed differences with the amount that
14 could be expected to occur by chance under conditions of true parity
15 of service. These comparisons help to determine quantitatively
16 whether BellSouth has provided nondiscriminatory treatment to
17 ALECs for measures with a retail analog. The FCC supported the use
18 of statistical comparisons in its Bell Atlantic Order for New York. See
19 *In the Matter of Application of Bell Atlantic for Provision of In-Region*
20 *InterLATA Services In New York*, CC Docket No. 99-295 (December
21 23, 1999), Appendix B, Para. 2&4, where FCC stated:

22 When making a parity comparison, statistical analysis is
23 a useful tool to take into account random variations in

1 the metrics. In the Second BellSouth Louisiana Order,
2 we encouraged BOCs to submit data allowing us to
3 determine if any detected difference between the
4 wholesale and retail metrics is statistically significant.

5

6 **Q. WHAT SHOULD THIS COMMISSION ORDER CONCERNING THE**
7 **STATISTICAL METHODOLOGY TO BE USED IN EVALUATING**
8 **PARITY?**

9 **A.** There are two things that should be included in the Commission's
10 order. First, the Commission should select the appropriate statistic for
11 making parity determinations. My testimony explains that the modified
12 z is the most appropriate statistic for this purpose. Second, the
13 Commission should set the value of a parameter "delta," which is
14 needed to compute a balancing critical value, at no higher than 0.25
15 for all submeasures. The modified z statistic compared with a
16 balancing critical value based on a parameter delta no higher than
17 0.25 for all submeasures will enable this Commission to detect lack of
18 parity in BellSouth's performance to ALECs.

19

20 **Issue 11. a. What is the appropriate methodology that**
21 **should be employed to determine if BellSouth is providing**
22 **compliant performance to an individual ALEC? (Tier 1)**

23 **c. What is the appropriate structure?**

1 **1. What is the appropriate statistical methodology?**

2

3 **Issue 12. a. What is the appropriate methodology that**
4 **should be employed to determine if BellSouth is providing**
5 **compliant performance to an individual ALEC? (Tier 2)**

6 **c. What is the appropriate structure?**

7 **1. What is the appropriate statistical methodology?**

8

9 **Q. WHAT STATISTICAL METHODOLOGY DO THE ALECS**
10 **RECOMMEND?**

11 **A. The ALECs recommend use of the modified z statistic. This test**
12 **statistic is described in a paper attached to this testimony as Exhibit**
13 **RMB-1.¹ For each parity submeasurement (a disaggregated**
14 **measure), BellSouth's performance for its retail operation (or that of its**
15 **affiliates) is compared with the performance it provides to a given**
16 **ALEC to create a z score (the modified z statistic), which then can be**
17 **used to determine whether BellSouth's performance for an ALEC is in**
18 **parity with its performance for its retail operation. For small sample**
19 **sizes (30 or fewer observations in either of the data sets to be**
20 **compared), permutation analysis is used to compute the z score.**
21 **Permutation analysis is a computer-intensive method that compares**
22 **the observed results for the ALEC customers with the distribution of**

¹ See Exhibit RMB-1, "Statistical Tests for Local Service Parity", Version 1.0, February 6, 1998, Local Competition Users Group.

1 results that would be observed if ALEC had been drawn at random
2 from the pool of ALEC and BellSouth customers (see Exhibit RMB-2,
3 "Permutation Analysis Procedural Steps").

4 Out-of-parity performance occurs when the z score falls below
5 a pre-specified critical value that depends on the two sample sizes.
6 Values of z that fall below the critical value are taken as indications of
7 discrimination. The ALECs use a principle called "balancing" to
8 determine the critical value.

9

10 **Q IS MODIFIED Z AN APPROPRIATE COMPONENT OF THE**
11 **STATISTICAL METHODOLOGY FOR MAKING PARITY**
12 **DETERMINATIONS?**

13 **A.** Yes. Experience with BellSouth's raw data confirms that the modified
14 z statistic is an appropriate and effective component of the
15 methodology for parity determinations. In its August 31, 1998 order in
16 Docket No. U-22252-C, the Louisiana Public Service Commission
17 required BellSouth to give ALECs access to raw data that underlies
18 BellSouth's reports.² In that proceeding, Dr. Colin Mallows, an AT&T
19 statistician, was able to receive and work with at least some of
20 BellSouth's performance data in order to assess the performance of
21 the statistical test.³ The ability to look at and analyze data is critical to

² Order, In re: BellSouth Telecommunications, Inc., Service Quality Performance Measurements, Docket No. U-22252, Subdocket C, August 31, 1998.

³ Pursuant to a protective agreement, BellSouth provided some of its raw data associated with four measures it includes in its SQM. The measures for which Dr. Mallows received

1 determining the appropriate statistical test; one cannot be assured that
2 the data characteristics are properly accounted for in the statistical
3 methodology unless one can observe the data and how it behaves
4 over time. The Louisiana Public Service Commission's order provided
5 the opportunity for Dr. Mallows to actually see raw data and, thereby,
6 confirm and refine the statistical methodology. Dr. Mallows analysis of
7 the raw data confirmed that the modified z statistic is an effective
8 component of the methodology for parity determinations.

9

10 **Q. WHAT IS THE CRITICAL VALUE AND WHY IS IT IMPORTANT?**

11 **A.** The critical value is used, along with the modified z, to determine
12 whether the performance for a particular measure is considered to be
13 in violation. As the modified z statistic is defined in the ALEC plan,
14 negative values of modified z provide evidence that an ALEC's
15 customers are receiving worse service than the corresponding CLEC
16 customers, with large negative numbers providing the most evidence.
17 The value of the modified z statistic is compared with a pre-specified
18 negative number, called the critical value. If modified z is more
19 negative than the critical value, then the measure is determined to be
20 in violation. Otherwise, the measure is not determined to be in
21 violation, even though service for the ALEC customers may have been
22 worse than service received by the retail customers.

some raw data were: Order Completion Interval, Maintenance Average Duration, Missed Repair Appointments, and Missed Installation Appointments.

1 **Q. PLEASE EXPLAIN THE CONCEPT OF “ERROR” IN CONNECTION**
2 **WITH STATISTICAL TESTING.**

3 **A.** Because statistical tests are based on finite amounts of data, they are
4 subject to error. For tests of parity, there is some chance that a
5 measure will be determined in violation when, in fact, the two
6 processes were in perfect parity (i.e., any difference was purely due to
7 random variation). Likewise, when the two processes are out of parity
8 such that the ALEC’s customers receive systematically worse service,
9 there is a chance that the statistical test will fail to find the measure in
10 violation, again due to random variation.

11

12 **Q. WHAT IS A TYPE I ERROR?**

13 **A.** A Type I error occurs if the statistical test indicates that BellSouth is
14 favoring its retail operations when, in fact, parity service exists. Type I
15 errors occur because of random variation.

16

17 **Q. WHAT IS A TYPE II ERROR?**

18 **A.** A Type II error occurs if the statistical test fails to indicate that
19 BellSouth is favoring its retail operations when, in fact, a certain
20 degree of disparity does exist. Like Type I errors, Type II errors occur
21 because of random variation. In contrast to Type I errors,
22 determination of the probability of a Type II error requires specification

1 of an alternative hypothesis that quantifies the degree of service
2 disparity.

3

4 **Q. HOW DOES THE CHOICE OF THE CRITICAL VALUE AFFECT**
5 **TYPE I AND TYPE II ERRORS?**

6 **A.** The critical value trades off between the probabilities of Type I and
7 Type II errors. A large negative critical value holds down the
8 probability of a Type I error, but allows the probability of a Type II error
9 to grow larger. A less negative critical value keeps down the
10 probability of a Type II error but allows the probability of a Type I error
11 to grow. Put simply, a large negative critical value reduces the
12 possibility of determining noncompliance when BellSouth is in fact
13 providing parity service, while less negative values reduce the
14 possibility of determining BellSouth is compliant when in fact they are
15 providing noncompliant support.

16

17 **Q. WHAT IS A BALANCING CRITICAL VALUE AND HOW IS IT**
18 **DETERMINED?**

19 **A.** The balancing critical value method explicitly accounts for the
20 probabilities of both Type I and Type II errors. The basic concept is to
21 equate the probability of a Type I error (under parity) with the
22 probability of a Type II error for a specified alternative hypothesis.

23

1 **Q. HOW SHOULD THE ALTERNATIVE HYPOTHESIS FOR THE**
2 **BALANCING METHOD BE DETERMINED?**

3 **A.** The alternative hypothesis should describe the minimum degree of
4 disparity that constitutes a material impact on competition. The
5 balancing method recognizes that small degrees of disparity may not
6 significantly hinder competition, and thereby do not require protection
7 for the ALECs. However, the degree of disparity specified by the
8 alternative hypothesis should not exceed the minimum amount that
9 would constitute a material impact on competition because doing so
10 would deny the ALECs adequate protection against that degree of
11 discrimination.

12

13 **Q. HOW IS A BALANCING CRITICAL VALUE DETERMINED?**

14 **A.** Once the alternative hypothesis has been specified, a balancing
15 critical value (BCV) is set by equating the probabilities of Type I and
16 Type II errors. The degree of disparity can be specified in terms of a
17 parameter "delta."

18

19 **Issue 11. a. What is the appropriate methodology that**
20 **should be employed to determine if BellSouth is providing**
21 **compliant performance to an individual ALEC? (Tier 1)**

22 **c. What is the appropriate structure?**

23 **2. What is the appropriate parameter delta, if any?**

1 **5. Should there be a floor on the balancing critical**
2 **value?**

3

4 **Issue 12. a. What is the appropriate methodology that**
5 **should be employed to determine if BellSouth is providing**
6 **compliant performance to an individual ALEC? (Tier 2)**

7 **c. What is the appropriate structure?**

8 **2. What is the appropriate parameter delta, if any?**

9 **5. Should there be a floor on the balancing critical**
10 **value?**

11

12 **Q. WHAT IS THE PARAMETER “DELTA” AND WHY IS IT**
13 **IMPORTANT?**

14 **A.** The parameter delta defines the degree of violation of parity (i.e., the
15 alternative hypothesis) for which the probability of Type II error is
16 balanced against the probability of Type I error under parity. Delta
17 specifies the difference between the ALEC mean and the BellSouth
18 mean. To account for the fact that performance measures do not
19 share a common scale, the difference between the ALEC and
20 BellSouth means is stated as delta times the standard deviation for
21 BellSouth customers. For example, suppose that the measure Order
22 Completion Interval has a mean of 5.0 days and a standard deviation
23 of 6.0 days for BellSouth customers. Then a delta of 0.25 would yield

1 an alternative hypothesis that the true mean for ALEC customers is
2 6.5 days ($5.0 + 0.25 \times 6.0$).

3

4 **Q. HAS A VALUE OF THE DELTA PARAMETER BEEN AGREED**
5 **UPON?**

6 **A.** No, the ALEC's and BellSouth's statisticians agree on the principle of
7 balancing Type I and Type II errors, but they have not agreed on a
8 value for the delta parameter. The balancing critical value
9 development is incomplete until the value of the delta parameter is
10 specified.

11

12 **Q. WHY HAS THE DETERMINATION OF THE DELTA PARAMETER**
13 **NOT BEEN RESOLVED?**

14 **A.** Resolution of this question cannot be based solely on a theoretical
15 statistical analysis. Ideally, this decision should be based on business
16 judgment, namely by determining the smallest violation of parity that is
17 "material." The parameter delta measures the size of this violation.
18 Once delta is chosen, the formula makes proper allowance for the
19 effect of the sample size. When delta is large, the balancing occurs at
20 a more extreme degree of observed disparity. BellSouth wants a
21 large delta because this means a smaller probability of Type I error
22 and hence, larger probability of Type II errors for any given degree of
23 true disparity. The ALECs want a value of delta that protects them

1 against any degree of disparity that would pose a material obstacle to
2 competition. If the parameter delta is set too high—such that some
3 smaller violation would present a material obstacle to competition—
4 then the balancing principle would be violated.

5

6 **Q. WHAT VALUE OF DELTA DO THE ALECS PROPOSE AND WHAT**
7 **DOES THAT VALUE IMPLY?**

8 **A.** The ALECs propose that this Commission adopt 0.25 or less as the
9 parameter delta value for all submeasures. To understand the
10 implications of this and various alternative values of delta, consider
11 what they imply for the counted performance measures. Consider a
12 counted measure indicating a particular service problem that is
13 triggered for 1 percent of BellSouth's own customers. Column 1 of
14 Table 1 (below) shows that the degree of disparity quantified by delta
15 equal to 0.25 implies that 5.0% of ALEC customers would encounter
16 the same problem; that is, the ALEC rate is five times the BellSouth
17 rate.⁴ Subsequent rows of the same column show the problem rates
18 for ALEC customers implied by a delta of 0.25 for problems that affect
19 5, 10, or 20 percent of BellSouth customers. The ALECs judge that
20 disparities of this size pose material obstacles to competition.
21 Therefore, delta should be no more than 0.25. Any larger value of
22 delta would require even greater disparities before balancing takes

1 place. For example, for a problem that occurs for 1 percent of
 2 BellSouth customers, a delta value of 0.50 would not balance until the
 3 ALEC rate reached 11.8%, nearly a twelve-fold increase. These
 4 disparities are highlighted in Table I.

5

6

Table 1

7

Percentage of ALEC Customers Receiving Bad Service,

8

by BellSouth Percent and Delta

| | Delta | | |
|-------------------|-------|------|------|
| BellSouth Percent | 0.25 | 0.50 | 1.00 |
| | | | |
| 1.0 | 5.0 | 11.8 | 31.9 |
| 5.0 | 11.8 | 21.0 | 44.0 |
| 10.0 | 18.7 | 29.3 | 53.6 |
| 20.0 | 30.8 | 42.8 | 67.4 |

9

10

11 **Q. WHAT ARE THE CONSEQUENCES IF DELTA IS SET TOO**
 12 **LARGE?**

⁴ The table assumes use of arcsin square root transformation to stabilize the variance of proportions. Using this function, transformed proportions have a nearly constant variance across the range of possible true proportions.

1 **A.** Suppose that delta is set substantially above the minimum value that
2 represents material impact on competition for a particular measure.
3 Then the ALECs will face greater risk of a Type II error in the face of
4 disparity constituting material impact than BellSouth would face of at
5 Type I error under parity. In other words, proper balancing would not
6 occur. This problem would be magnified for large sample sizes,
7 because balancing can produce unconventionally large, negative
8 critical values. For example, with samples sizes of 2,500 and 250 for
9 BellSouth and a ALEC, respectively, a delta equal to 0.50 yields a
10 balancing critical value of -3.77 , corresponding to a Type I error
11 probability of 0.00008 (i.e., 1 in 12,000), far below any conventional
12 significance level used in statistical testing. A delta equal to 1.00
13 would yield a balancing critical value of -7.54 , corresponding to a
14 microscopically small Type I error probability. Consequently,
15 compelling statistical evidence of discrimination, e.g., a z score of $-$
16 6.0, might be ignored. Such an outcome would be justified only if one
17 could be certain that delta had not been set too large. If delta is set
18 too large (e.g., delta greater than 0.25), a floor value for the BCV
19 might then be needed. With a delta of 0.25 or less, as recommended
20 by the ALECs, a floor value should be unnecessary.

21

22 **Q.** **WHAT DO ALECS RECOMMEND THAT THIS COMMISSION**
23 **ORDER CONCERNING THE STATISTICAL METHODOLOGY?**

1 **A.** There are two things that should be included in the Commission's
2 order. First, ALECs propose that the Modified Z be the statistic used
3 for making parity determinations. Second, ALECs propose that this
4 Commission order the parameter delta value be set no higher than
5 0.25 for all submeasures.

6

7 **Q.** **WHEN THE DELTA VALUE FOR THE BALANCING CRITICAL**
8 **VALUE IS ESTABLISHED, WILL THE ALECS BE SATISFIED THAT**
9 **THE RECOMMENDED STATISTICAL METHODOLOGY WILL**
10 **ACCURATELY EVALUATE BELLSOUTH'S PERFORMANCE?**

11 **A.** Although no perfect methodology for this purpose can be created, I
12 believe that the methodology proposed by the ALECs will be fair to
13 both sides. We expect to monitor how the methodology works in
14 "production mode", when very large amounts of data are being
15 analyzed. AT&T's statistician will monitor how the methodology works
16 after implementation and will make recommendations for
17 improvements, if necessary.

18

19 **Q.** **DOES THAT CONCLUDE YOUR TESTIMONY?**

20 **A.** Yes.

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 **A.** My name is Robert M. Bell. My business address is AT&T Labs-
3 Research, 180 Park Avenue, Florham Park, New Jersey 07932.

4

5 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

6 **A.** My testimony responds to certain portions of the direct testimony of Dr.
7 Edward Mulrow and describes errors in Exhibit DAC-6 filed by Mr. David
8 Coon. The greatest part of my testimony discusses problems with an
9 example that Dr. Mulrow uses to illustrate how the parameter delta should
10 be specified.

11

12 **Q. HOW SHOULD THE COMMISSION EVALUATE ALTERNATIVE**
13 **VALUES FOR THE PARAMETER DELTA REQUIRED TO SET A**
14 **BALANCING CRITICAL VALUE?**

15 **A.** Any particular value of the parameter delta implies a specific degree of
16 departure from parity between the service received by ALEC customers
17 and BellSouth's retail customers. Deciding on the appropriateness of a
18 particular value of delta for a measure should be based on a judgment
19 about the impact that the corresponding disparity of service would have on
20 the competitive environment. Delta should define the minimum degree of
21 disparity that causes a material impact on competition. Thinking about
22 real measures is the best way to make these judgments.

23

1 **Q. ON PAGES 18-19 OF HIS DIRECT TESTIMONY, DR. MULROW**
2 **PRESENTED AN EXAMPLE TO ILLUSTRATE THE EFFECTS OF TWO**
3 **DIFFERENT VALUES OF DELTA FOR A SPECIFIC MEASURE.**
4 **PLEASE SUMMARIZE THIS EXAMPLE?**

5 **A.** Dr. Mulrow performs calculations for a measure, time to provision a
6 dispatched retail order, which he assumes has a mean of 5.0 days and
7 standard deviation of 0.5 days for BellSouth's customers. He states that a
8 delta of 1.0 implies that the minimum difference between the ALEC and
9 BellSouth means that would be material equals one-half the BellSouth
10 standard deviation (0.25 days or 6 hours). He writes that a delta of 1
11 "means that as long as the average time taken to provide the relevant
12 service to the ALECs did not exceed the BellSouth mean (5 days) plus
13 one-half of the standard deviation I mentioned (half a day), the difference
14 would not be material. That is, if the mean for the ALECs for this period
15 were 5.25 days or less, the difference would not be material." (p. 18, lines
16 15-19). This leads to the question, "Is it material that BellSouth took 6
17 hours longer over a five-day period on average to provide service to the
18 ALEC than to its own retail services?" (p. 19, lines 6-8). A corresponding
19 calculation for delta equals 0.5 led to the question "Is it material that
20 BellSouth took 3 hours longer, on average?" (p. 19, lines 8-9).

21
22
23

1 **Q. IS DR. MULROW'S EXAMPLE USEFUL?**

2 **A.** No. There are two problems with the example that result in the statement
3 of misleading questions about material impact. First, Dr. Mulrow
4 incorrectly includes a factor of one half in his calculation of the difference
5 implied by any value of delta. Second, he assumes an implausibly small
6 value for BellSouth's standard deviation for the time-to-provision measure.
7 Consequently, he understates the resulting disparity by a factor of 20 or
8 more.

9

10 **Q. WHAT WAS THE FIRST PROBLEM WITH THE EXAMPLE AND WHY IS**
11 **IT IMPORTANT?**

12 **A.** Dr. Mulrow argues that the parameter delta should be set so that the
13 minimum material difference equals $0.5 \times \text{delta} \times \text{BellSouth's standard deviation}$. Including the factor of one-half violates the balancing principle
14 because balancing occurs when the true difference in means equals $\text{delta} \times \text{BellSouth's standard deviation}$. The Louisiana joint statistician's report
15 implicitly defines materiality in terms of the alternative hypothesis, "If a
16 standard of materiality is set by stating a specific alternative hypothesis for
17 the test, ...then a critical value can be determined so that the two error
18 probabilities are equal." (Exhibit EJM-1, page 9 of 39). That is, a material
19 difference must be defined as $\text{delta} \times \text{BellSouth's standard deviation}$ (the
20 difference between the BellSouth mean and the ALEC mean under the
21 alternative hypothesis). If delta is set incorrectly, so that a difference of
22
23

1 one-half that size is material, then proper balancing does not occur. The
2 probability of a Type II error when there is a difference corresponding to
3 one-half delta remains at 50 percent, no matter how low the Type I error
4 falls.

5

6 **Q. WHAT WAS THE SECOND PROBLEM WITH THE EXAMPLE AND WHY**
7 **IS IT IMPORTANT?**

8 **A.** Dr. Mulrow's example assumed that BellSouth's standard deviation was
9 0.5 days—only one-tenth the average time to provision. Because
10 distributions for waiting times tend to have long tails (i.e., some customers
11 may take 30 days or more to provision), these measures would be
12 expected to have standard deviations that exceed their means. For
13 example, in a later example, Dr. Mulrow assumes that the standard
14 deviation of the interval for providing service to BellSouth's retail analog is
15 4 days, compared with a mean of only 3 days. Real data demonstrate the
16 same relationship (see "Qwest Performance Results (ROC 271 PID 2.0,"
17 December 21, 2000). Page 54 of the report shows monthly summary data
18 for the measure OP-4A, "Installation Interval (Average Days) – Dispatches
19 within MSAs" for residences. For nine of the ten reported months
20 (January to October 2000), the CLEC standard deviation exceeds the
21 CLEC mean (the report does not report standard deviations for Qwest
22 customers). The ratios of the standard deviations to the means range

1 from 0.91 to 1.66 with a median of 1.19. Similar results hold for
2 dispatches outside MSAs (measure OP-4B).

3 Consider the consequence of using a more realistic, but still conservative,
4 standard deviation of 5 days in Dr. Mulrow's example. In that cases, a
5 delta of 1.0 would imply a difference of 5 days between the ALEC and
6 BellSouth means—20 times larger than the 6 hours calculated by Dr.
7 Mulrow. Based on the improved calculation, delta equal to 1.0 implies that
8 as long as the average time taken to provide the relevant service to the
9 ALECs did not exceed 10 days, the difference would not be material.

10 The following table shows the correct degree of disparity associated with
11 various values of delta (assuming BellSouth's standard deviation equals 5
12 days). For example, delta = 0.50 (second row from bottom) implies a
13 difference of 2.5 days, so that balancing occurs with for an alternative
14 hypothesis that the ALEC mean equals 7.50 days. Note that the
15 disparities stated in Dr. Mulrow's testimony actually correspond to delta
16 values of 0.025 and 0.05.

17

1
2

Degree of Disparity Associated with
Selected Values of Delta

| Delta | Disparity (in days) | ALEC Mean (in days) |
|-------|------------------------|------------------------|
| 0.025 | 0.125 | 5.125 |
| 0.05 | 0.25 | 5.25 |
| 0.10 | 0.50 | 5.50 |
| 0.25 | 1.25 | 6.25 |
| 0.50 | 2.50 | 7.50 |
| 1.00 | 5.00 | 10.00 |

3
4
5
6
7

Disparity = difference in means implied
by Delta (Delta x 5 days)
ALEC Mean = ALEC Mean under alternative
hypothesis (BellSouth mean + Disparity)

8 **Q. DR. MULROW REJECTS A FLOOR FOR THE BALANCING CRITICAL**
9 **VALUE CONCLUDING, "BELLSOUTH WOULD BE PAYING A**
10 **PENALTY EVEN THOUGH THE FOUR-DAY THRESHOLD THAT**
11 **ACTUALLY REPRESENTS A MATERIAL DIFFERENCE HAS NOT**
12 **BEEN MET IN THE FOURTH SET OF OBSERVATIONS." (PP. 21-22).**
13 **DO YOU AGREE WITH HIS CONCLUSION?**

1 **A.** No. In the line that Dr. Mulrow cites, the balancing critical value is -12.35 .
2 Consequently, unequivocal evidence of non-parity with z scores of -8 , -10 ,
3 or even -12 would fail to trigger a remedy. This decision would only be
4 justified if we could be assured that the observed difference did not hinder
5 competition. However, setting delta is not an exact science. There is no
6 magic point at which disparities suddenly become material. Even if there
7 were, we could not identify that point with any certainty. Consequently, a
8 floor on the balancing critical value provides some protection against
9 failing to trigger a remedy in the face of unequivocal, material disparity for
10 measures with large samples, when delta has been set too high. If delta
11 is set at 0.50 or higher, this risk is clear enough that a floor on the
12 balancing critical value should be used. Although the same danger
13 theoretically exists for $\delta = 0.25$, the value used in the joint ALEC plan,
14 the danger is sufficiently small, at current samples sizes, so that I do not
15 anticipate a floor would be necessary. Even at current sample sizes,
16 however, a delta of 0.50 or 1.00 would be problematic.

17

18 **Q. DOES TRUNCATED Z PREVENT PARITY SERVICE IN SOME CELLS**
19 **FROM CONCEALING DISCRIMINATION IN OTHER CELLS?**

20 **A.** No. The truncation step, setting $Z_j^* = \min(0, Z_j)$, is designed to keep a
21 single cell where the ALEC's customers receive much better than parity
22 service from canceling out poor service in other cells. However, it does
23 not prevent parity, or better, service in a large number of cells from

1 concealing very poor service in other cells. Suppose that BellSouth
2 provides very poor service in a few cells (e.g., modified z scores extreme
3 enough to rule out random variation as the explanation) and parity service
4 in other cells being aggregated. The more parity cells that are included
5 the greater the chance is that truncated z will not be significant. The
6 reason is that each cell that is in parity tends to increase the expected
7 value of the truncated z statistic (high values are take as evidence of
8 parity). In addition, each cell that is in parity decreases the balancing
9 critical value that truncated z must fall below to be judged significant.
10 Similarly, parity service in just a few large cells can conceal very poor
11 service in much smaller cells because the truncated z statistics weights
12 the modified z scores according to sample sizes in the cells. This feature
13 of truncated z is not a flaw in the procedure, but it can result in unintended
14 consequences if very heterogeneous cells are aggregated.

15

16 **Q. ARE THE CALCULATIONS ILLUSTRATING THE SEEM REMEDY**
17 **PROCEDURE, ON PAGES 4-6 OF EXHIBIT DAC-6, CORRECT?**

18 **A.** No. The ILEC sample sizes for cells 1-10, which are not provided, would
19 be required to validate exactly the modified z, truncated z and balancing
20 critical values. However, there is enough information available to prove
21 that the balancing critical values shown in the tables are wrong by as
22 much as a factor of 70. The tables all report balancing critical values of –
23 0.21. However, for Order Completion Interval (p. 5), if the total ILEC

1 BY MR. PRESCOTT:

2 Q Doctor Bell, attached to your prefiled direct
3 testimony, were there two exhibits labeled RMB-1 and RMB-2?

4 A Yes, there were.

5 Q Did you have any exhibits attached to your rebuttal
6 testimony?

7 A No.

8 Q Have you prepared a summary of your testimony?

9 A Yes, I have.

10 Q Would you provide the Commission with a summary of your
11 testimony?

12 A Yes. Good morning, Mr. Chairman and Commissioners. I
13 am going to summarize the testimony that I provided on
14 statistical components of the joint ALEC and BellSouth plans. I
15 will do my best to use plain English. But if I get too
16 technical, please interrupt me for clarification.

17 The statistical tests used to determine compliance
18 require decisions about several steps in the procedure.
19 Fortunately, both sides agree on several decisions, use of
20 modified z in large samples and permutation analysis for small
21 samples, as well as use of the balancing critical value
22 methodology.

23 I will focus this morning on the two most important
24 areas of disagreement, aggregation and the value for δ which
25 is used to set balancing critical values. I'm not here to tell

1 the Commission what to do, but instead to provide guidance on how
2 to evaluate both side's proposals on these two crucial decisions.

3 Both plans disaggregate in order to produce
4 like-to-like comparisons. Unlike the JALEC plan, BellSouth uses
5 a method called truncated z to combine large numbers of cells
6 into a single z score that is compared against a balancing
7 critical value. I support use of truncated z as a method for
8 aggregation of homogeneous groups of cells. However, aggregation
9 methods, including truncated z, should not be used to aggregate
10 heterogeneous cells. For example, for services that involve
11 distinct delivery processes.

12 The reason is that aggregation using truncated z can
13 mask discrimination that would be unequivocal in the absence of
14 aggregation resulting in no remedy payment being used when
15 aggregation is used. No remedy payment being made when
16 aggregation is used. Doctor Ford's rebuttal testimony provided a
17 good example of how severe discrimination for xDSL service might
18 be masked by aggregation with POTS service.

19 Let me turn to setting the parameter delta. Balancing
20 equates two types of errors, what we call Type I error, deciding
21 that BellSouth has discriminated when, in fact, it is providing
22 parity service. And Type II error, deciding that BellSouth
23 provides parity service when, in fact, there is a systematic
24 disparity of a certain size.

25 The parameter delta is used to specify the size of that

1 disparity for which the Type II error is being balanced. This
2 disparity should equal the minimum difference that is judged to
3 be a material obstacle to competition.

4 Now, the last two days you have heard a lot about delta
5 in abstract terms. Despite that, you do not need to just pick a
6 value of delta out of thin air. In my testimony I have
7 consistently stated that the best way to evaluate alternative
8 values of delta is to look at what they imply for specific
9 measures. I presented the table that is on the easel to my right
10 as Table 1 in my direct testimony to help put the meaning of
11 delta into real terms.

12 Consider the highlighted row, which would apply to any
13 measure where BellSouth's proportion is .05, or about five
14 percent. To give the row some meaning, suppose that it refers to
15 missed installation appointments. In other words, BellSouth for
16 its own customers misses five percent of installation
17 appointments. The last three columns of the table show the ALEC
18 percentage under the alternative hypothesis that is applied by
19 delta values of .25, .5, and 1.0. For example, a delta of .25
20 implies that Type I errors would be balanced against Type II
21 errors when the ALEC percentage is 11.8 percent, more than double
22 the rate of misses for BellSouth customers.

23 If you judge that this size of a disparity is material,
24 then delta should be set no larger than .25 for this particular
25 measure, and perhaps it should be lower.

1 A value of delta equal to .50 would be justified only
2 if you judge that an ALEC value of 20 percent, that is a
3 four-fold increase in the rate of missed appointments is
4 immaterial. The reason I say 20 percent is that a value of .50
5 for delta implies balancing at a value of 21 percent. So that we
6 are saying that a value of 20 percent is not material.

7 A delta equal to 1 would be justified only if the
8 minimum material disparity was about a nine-fold increase. I
9 urge you to also review the table that I present in my rebuttal
10 testimony with a similar example for a mean measure, specifically
11 the time to provision a dispatched residential order. Review of
12 examples like these is the basis for the JALEC recommendation
13 that delta be set no higher than .25. Thank you.

14 MR. PRESCOTT: The witness is available for questions.
15 Any cross? ALECs?

16 MR. MCGLOTHLIN: I have a few questions relating to the
17 differences in approach taken by Doctor Bell and Doctor Ford.
18 And for a point of reference, I just want to put up another
19 poster on the easel.

20 CROSS EXAMINATION

21 BY MR. MCGLOTHLIN:

22 Q Doctor Bell, in your prefiled testimony and in your
23 summary you alluded to the balancing critical value methodology.
24 Is it fair to state that both you and Doctor Ford are both
25 concerned with the impact of high values of BCV, or balancing

1 critical value, on the significance level of the statistical
2 test?

3 A Yes, I am.

4 Q Now, is it true that the value of balancing critical
5 value, the numerical result, is a function of the choice of
6 delta?

7 A Yes.

8 Q And the higher the delta value, the higher the
9 balancing critical value, correct?

10 A That is correct.

11 Q And the higher the balancing critical value, the
12 greater the impact on the significance level of the test?

13 A Could you restate that last --

14 Q The higher the BCV, the greater the impact on the
15 significance level of the test?

16 A Well, the higher the balancing critical value, the
17 lower would be the Type I error, which is also often known as the
18 significance level.

19 Q And what is the import of that? What do you mean by a
20 lower significance level, or lower Type I rate, why does that
21 matter?

22 A A Type I error occurs if BellSouth is providing parity
23 service and the test judges they are not providing parity
24 service.

25 Q All right. Now, balancing critical value also is a

1 function of ALEC sample size, is that correct?

2 A Yes.

3 Q And the larger the sample size, the larger the
4 balancing critical value?

5 A Yes.

6 Q And, again, the lower the significance level or error
7 rate, correct?

8 A That is correct.

9 Q I want to take just a moment and perhaps ask you why
10 that is the case. We have behind you the formula for the
11 calculation of the Mod z test. And at a very conceptual level,
12 do I understand it correctly that the z score is calculated by
13 first measuring the difference of the means, which are the two X
14 values in the numerator, you find the difference in the means
15 between the ILEC and the ALEC, and then you divide by a function
16 which is a calculation of standard deviation, correct?

17 A Yes.

18 MR. LACKEY: Just a moment. Before he answers that
19 question, I want to object to this line of cross. I know it may
20 be difficult to tell, but this is friendly cross. Mr.
21 McGlothlin's witness has testified in deposition which has been
22 admitted to this record that the only point they disagree on is
23 the selection of delta. And now we have gone the discussion of
24 delta, which is where Mr. McGlothlin started, and off on a
25 different tangent. And as I said, this is nothing but friendly

1 cross, I object to it going on any further.

2 MR. McGLOTHLIN: Well, counsel is mistaken. The
3 difference between the two witnesses is that Doctor Ford proposes
4 to have delta vary with sample size, whereas Doctor Bell does
5 not. And we are at issue on that aspect of the choice of delta.
6 And this is simply a quick background to ask Doctor Bell some
7 questions about that difference.

8 CHAIRMAN JACOBS: It has been represented then that you
9 are simply qualifying your line of questioning by this --

10 MR. McGLOTHLIN: That is correct.

11 CHAIRMAN JACOBS: And you are not really -- proceed
12 with your questions.

13 MR. LACKEY: As long as he is talking about delta,
14 that's fine, I just couldn't see it.

15 CHAIRMAN JACOBS: You guys are getting me way out there
16 trying to rule on this kind of an objection. Go ahead.

17 BY MR. McGLOTHLIN:

18 Q Is it true, Doctor Bell, that in calculating the z
19 score one divides the difference of the means by a value which is
20 a function of ALEC sample size?

21 A Yes.

22 Q Now, standard deviation measures the extent to which
23 data vary from and around the mean, is that correct?

24 A Yes.

25 Q Now, is it true that if you have a larger population,

1 as the size of the population increases, the extent of
2 variability away from the mean decreases?

3 A If you are talking about the measure itself, no. The
4 standard deviation for the population, which is σ or the
5 standard deviation for the sample, which is S sub B in that
6 formula, does not change. What would change is the standard
7 deviation of a sample mean, which is often referred to as a
8 standard error.

9 Q All right. So as the standard deviation decreases with
10 population, standard deviation of the mean -- that as the
11 population increases, the standard deviation of the mean would
12 decrease, correct?

13 A As the size of the sample -- as the size of the ALEC or
14 ILEC sample increases, yes.

15 Q In simpler terms, do I understand correctly that as you
16 increase sample size of the ALEC, you tend to decrease the size
17 of the denominator in the ratio that is used to calculate the z
18 score?

19 A Yes.

20 Q All right. So that is why as sample size increases,
21 the balancing critical value increases because balancing critical
22 value is a form of a z score?

23 A I wouldn't say that it is a form of a z score. The
24 balancing critical value is increasing in some sense at an
25 inverse rate with that denominator. In fact, it has the same

1 functional form. There is a piece of the balancing critical
2 value that looks exactly like the formula that is there in the
3 square root. And, in fact, it is also in the denominator at the
4 balancing critical value.

5 Q So we have identified two factors that -- each of which
6 independently tends to increase balancing critical value, right,
7 and delta is one of those and sample size is the other?

8 A Yes.

9 Q Now, you have chosen -- you propose a delta of .25,
10 have you not, sir?

11 A Yes.

12 Q And would it be fair to conclude that one reason for
13 that choice is to restrain the impact of the choice of delta on
14 the resulting balancing critical value?

15 A I would say no to that. The reason that the JALECs
16 propose a value of .25 or less is tied to the issue of
17 materiality and how large of a difference between the JALEC mean
18 and the -- between the ALEC mean and the BellSouth mean would be
19 judged to be a material impact on competition.

20 Q All right. I thank you for that correction on your
21 part. But would it be fair to say that the effect of that choice
22 would have some limiting effect on the size of balancing critical
23 value relative to a larger delta choice?

24 A Yes.

25 Q You have not chosen to build into the statistical

1 analysis any adjustment for sample size, is that correct?

2 A That is correct.

3 Q Would you agree that even --

4 A Excuse me. You mean in the specification of delta?

5 Q That is correct.

6 A That is correct.

7 Q Would you agree that even with a delta of .25 relative

8 to larger ones, the resulting balancing critical value can reach

9 very large values with sample sizes that one would expect to

10 encounter in operation?

11 A Well, I don't -- I haven't seen the sample sizes that

12 are, in fact, existing, so I can't say that the balancing

13 critical values get large for the sample size that might occur.

14 But there certainly are sample sizes that would lead to very

15 large balancing critical values.

16 Q All right. While you have not individually proposed to

17 vary delta as sample size, do you think it would be appropriate

18 to incorporate some adjustment mechanism to vary delta with

19 sample size so that the balancing critical values do not become

20 extremely large?

21 A As I stated in my direct testimony and perhaps the

22 rebuttal, and also in deposition, I am concerned about what can

23 happen, first of all, if a value of delta is chosen that really

24 is too large. In the example that I had up there, if a value --

25 if the appropriate value of delta to calibrate materiality is

1 .25, but a value is chosen that was .5 or 1, I'm concerned about
2 the impact that has in terms of Type II errors where the
3 probability of not finding discrimination is too large. And that
4 problem is -- that problem is particularly evident at large
5 sample sizes where you could have a situation where there is very
6 strong evidence that parity is not existing, but the test itself
7 still does not find BellSouth out of compliance. So, I stated I
8 am concerned about that.

9 The JALEC plan does not call for the use of either a
10 floor on the balancing critical value or changing the balancing
11 critical value as a function of delta because the JALECs did not
12 feel that the concern about a value of delta being too large was
13 enough at the particular sample sizes that were likely in order
14 for that to become an issue. However, there certainly could be
15 situations in the future where there are larger sample sizes, or
16 if there was a larger value of delta chosen for some reason, I
17 can definitely see merits in either the floor or changing delta
18 as a function of sample size.

19 MR. McGLOTHLIN: Those are all my questions.

20 CHAIRMAN JACOBS: Very well. Mr. Lackey.

21 MR. LACKEY: Thank you, Mr. Chairman.

22 CROSS EXAMINATION

23 BY MR. LACKEY:

24 Q Doctor Bell, my name is Doug Lackey.

25 A Good morning.

1 Q I am an attorney representing BellSouth. I understand
2 that you have a Ph.D in statistics and are actually working on a
3 day-to-day basis as a statistician, is that correct?

4 A Yes, that is correct.

5 Q And I want to ask you a little bit now about what
6 documents you are familiar with in this case. Are you familiar
7 with the Louisiana statisticians report attached to Doctor
8 Mulrow's testimony as his Exhibit 1?

9 A Yes. I am familiar with it, yes.

10 Q When is the last time you read it?

11 A I can't say that I have ever read it from cover to
12 cover. I reviewed pieces of it last week in preparation for my
13 deposition, although what I believe I did was I looked
14 specifically more at places that I maybe had not read previously.

15 Q And have you reviewed Mr. Coon's testimony and the
16 exhibits attached to his testimony to see how BellSouth's
17 enforcement plan is going to work as proposed in this case?

18 A I reviewed a fraction of his testimony. What I tried
19 to do is review pieces that were related to the statistical
20 testing aspects. I did not review pieces related to the
21 measures. And I reviewed just some of what was related to the
22 remedy payments.

23 Q But you have reviewed that part that has allowed you to
24 understand how BellSouth intends to use statistics in the
25 application of its plan, is that correct?

1 A I believe so.

2 Q Okay. Now, if the Commission in this case approves a
3 plan that allows a reasonable and appropriate level of
4 aggregation, the use of the truncated z as BellSouth has proposed
5 is appropriate, correct?

6 A Yes. If the aggregation is appropriate, then I believe
7 the truncated z is the method that should be used.

8 Q And just so we are clear on that, one of the
9 differences we are talking about in this proceeding is that the
10 ALEC plan has no aggregation in it and the BellSouth plan has
11 aggregation in it, is that correct?

12 A Yes.

13 Q Now, it is correct that the truncated z statistic was
14 developed jointly by an AT&T statistician whose name is, I think,
15 is it Colin Met (phonetic)?

16 A It is Doctor Colin Mallows.

17 Q Mallows. And he was the senior statistician in your
18 organization, is that correct?

19 A Well, he is certainly a distinguished statistician that
20 I worked with until last fall.

21 Q Okay. And so the notion of the truncated z test
22 statistic is not something that BellSouth just dreamed up, right?

23 A No, it's not.

24 Q It's something that statisticians can accept as being
25 an applicable aggregate level test statistic, correct?

1 A Yes.

2 Q Now, let's talk about the aggregations in this case.

3 It is my understanding that it is your position that the question
4 of whether an aggregation is appropriate or not is a business
5 judgment, correct?

6 A Well, I believe it requires both business knowledge as
7 well as knowledge about the aggregation method so that one can
8 know how the method was -- when use of the method is appropriate
9 and when it is inappropriate.

10 Q Do you have your deposition with you that you gave last
11 week?

12 A Yes, I do.

13 Q Okay. Would you turn to Page 28 of that deposition,
14 please. Let me know when you get there.

15 A I am on Page 28.

16 Q Okay. I'm going to read you the question on Line 9,
17 would you tell me what your answer was.

18 "Question: Now in a particular instance, the decision
19 as to whether aggregation is proper or improper, is that a
20 judgment that statisticians would make or is that a business
21 judgment?"

22 What was your answer?

23 A I said I think that is a business judgment.

24 Q Now, in fact, in this case you personally have no
25 opinion as to whether any proposed aggregation is proper or

1 improper, is that correct?

2 A That is correct.

3 Q Now, let's talk about delta for a moment. You will
4 agree that setting delta is not an exact science, correct?

5 A Yes.

6 Q And you will agree that there is no magic point at
7 which disparities suddenly become material, correct?

8 A Yes.

9 Q And you will agree that ideally the decision about what
10 the level of delta should be should also be a business judgment,
11 correct?

12 A Yes.

13 Q Okay. Now, were you here yesterday when Doctor Mulrow
14 testified?

15 A Yes, I was.

16 Q And were you here specifically during my redirect of
17 him at the end of his testimony?

18 A I believe so. I don't recall what --

19 Q Do you recall that I asked him whether BellSouth would
20 start paying penalties when the observed difference between the
21 means reached one-half delta?

22 A I believe I recall that.

23 Q And do you recall that his answer was yes?

24 A Yes.

25 Q Do you disagree with that response?

1 A No.

2 Q So just so we are clear and everybody understands that
3 whatever delta is selected here, as soon as the observed
4 disparity reaches one-half delta, BellSouth is going to start
5 paying penalties, correct?

6 A As soon as the observed difference reaches one-half
7 delta. I think the more relevant issue is -- has to do with the
8 actual disparity that would be observed if there was no sampling
9 error. And the idea of balancing is that we are trying to
10 determine -- in picking delta we are trying to determine a delta
11 that defines a material difference, and we are trying to balance
12 the Type I and Type II errors.

13 In other words, at that material difference which is
14 specified by delta, we would like for the probability of finding
15 BellSouth in compliance to be the same as the probability of
16 finding BellSouth out of compliance if, in fact, they were
17 providing parity.

18 And the problem about talking about delta over 2 is
19 that although remedies begin when the observed difference is the
20 same as delta over 2, balancing does not occur at that point.
21 Instead of the Type I and Type II errors being the same at delta
22 over 2, the Type II error is approximately one-half, so there is
23 as good a chance if the true -- if the true difference is at that
24 value of delta over 2, there is as good a chance of not finding
25 anything as finding anything. So we don't want to set what the

1 Commission determines to be a material difference at delta over
2 2, instead we want to set it at delta.

3 Q Well, thank you for that, but the answer to my question
4 was yes?

5 A Yes.

6 Q Thank you. Now, we have agreed -- I mean, the
7 BellSouth statisticians and the ALEC statisticians agree that the
8 principle of balancing, critical value balancing should be
9 applied, right, in this case?

10 A Yes.

11 Q And that is in opposition to something called the fixed
12 critical value approach, is that correct?

13 A Yes.

14 Q And what this means is is that the balancing critical
15 value can float, it can change with sample size and that sort of
16 thing, correct?

17 A Yes.

18 Q But with the fixed critical value, you just pick a
19 number like minus 1.64, and any observed or any calculated
20 statistics that is smaller than that or greater than that -- I
21 get confused about my minus signs -- is a violation, right?

22 A Yes. More extreme is the way I like to put it. That
23 way you don't have to worry about whether it is plus 1.6 or minus
24 1.6.

25 Q Just so we are clear, what I was trying to say is if

1 the fixed critical value is minus 1.64, a violation would occur
2 at minus 2?

3 A Correct.

4 Q It moves away from zero, correct?

5 A Yes.

6 Q Now, one of the problems with a fixed critical value is
7 that in large sample sizes a fixed critical value might tend to
8 trigger remedies associated with very small actual differences,
9 correct?

10 A That's correct. That is one of two problems with it,
11 the other being at small sample sizes.

12 Q Okay. Now, at least one of the parties in this
13 proceeding has recommended a floor on the balancing critical
14 values, correct?

15 A Yes.

16 Q And what that means is that instead of letting the
17 balancing critical value float according to sample size, that
18 when you get to a specific level, say minus 3, continuing my
19 example, that the critical balancing value would become fixed and
20 would not change anymore, is that correct?

21 A That is correct.

22 Q So in that case if a floor is implemented, basically
23 the critical balancing value becomes a fixed critical value,
24 correct?

25 A I mean, that is sort of semantics as to whether to call

1 it a fixed critical value. I think that would be a confusing
2 term.

3 Q Well, it's the same thing. I mean, it's minus 3 and it
4 doesn't change anymore. That's what I define as fixed.

5 A Well, I mean, I guess if one was a little bit more
6 explicit to say it is fixed for sample sizes beyond some limit.

7 Q Okay. Now, let's talk about that chart we have been
8 looking at for a day and a half now. It has disappeared. Can I
9 get it put back up there. This is your chart, right?

10 A Yes, it is. It's out of my direct testimony.

11 Q Now, I'm probably going to get this wrong, so you may
12 have to help me. But there has got to be at least three
13 different kinds of measures, a means difference, a proportional
14 test measure, and a rates measure, is that right?

15 A Yes.

16 Q Okay. And the means measure simply measures the
17 difference between the ALEC mean and the ILEC mean, right?

18 A Well, that is a piece of it.

19 Q That is what is implicated in a means measure, right?

20 A Yes.

21 Q You are measuring the difference between two averages?

22 A That is correct.

23 Q Okay. And then a proportional measure is one where
24 like you have on the board, something is 5 percent of something
25 else, or something is 30 percent of something else, correct?

1 A Correct.

2 Q And then the rates test, an example would be the number
3 of trouble reports per central office would be a rates measure,
4 something like that?

5 A I don't think it would be per central office, but maybe
6 it would be, I don't know. It would be the number of trouble
7 reports per something.

8 Q Like number of trouble reports per hundred or something
9 like that, hundred access lines?

10 A Yes.

11 Q Now, you will agree with me, won't you, that what you
12 have got on that chart is a -- involves a proportion measure,
13 correct?

14 A That is correct.

15 Q Now, isn't it true that in BellSouth's application of
16 statistical techniques and methods to its enforcement plan that
17 it did not use delta in connection with its proportion measures?

18 A That is correct.

19 Q So what you have got up there on that chart that is
20 labelled -- that has BellSouth's name on it and delta on it does
21 not represent what BellSouth is proposing in this proceeding,
22 does it?

23 A It does not represent what they are proposing for
24 proportion measures.

25 MR. LACKEY: That's all I have. Thank you, Mr.

1 Chairman.

2 CHAIRMAN JACOBS: Staff.

3 CROSS EXAMINATION

4 BY MR. FUDGE:

5 Q Good morning, Doctor Bell.

6 A Good morning.

7 Q Do you have an opinion as to the appropriate criteria
8 for determining the appropriate level of disaggregation?

9 A Yes, I do. The truncated z was developed as a means
10 for summarizing results from a number of different cells, or
11 submeasures, whatever you want to call them, where there is an
12 expectation that what is being measured in each of the cells is
13 fairly homogeneous. Not necessarily perfectly homogeneous. And
14 what I mean when I say what is being measured is the degree of
15 disparity.

16 It's not a good way to look at a situation where in
17 some cells there may well be -- you would expect that there might
18 be large discrimination in other cells, there might be no
19 discrimination or discrimination in the opposite direction. So
20 that my criteria would be that one would want to aggregate
21 together cells where there was a reasonable expectation that the
22 degree of disparity was relatively constant in all of the cells,
23 and that would suggest to me that one would not want to aggregate
24 cells that had different processes, so to speak, where the
25 service provision was being given in different ways or perhaps by

1 different types of personnel.

2 Q Would you agree that the transformed data method also
3 known as the arc sign transformation is the one statistical
4 technique that is appropriate for proportion and rate measures,
5 and for which there is evidence in this proceeding to implement
6 this technique?

7 A Could you repeat that question one more time?

8 Q Sure. Would you agree that the transformed data
9 method, also known as the arc sign transformation, is the one
10 statistical technique which is appropriate for proportion and
11 rate measures and for which there is ample evidence in this
12 proceeding to implement?

13 A I agree that it is an appropriate method and that there
14 is ample evidence in the record. It is not necessarily the only
15 such method.

16 Q What are the other methods?

17 A BellSouth has put forward a method based on the odds
18 ratio, which at least theoretically also could be an appropriate
19 method.

20 Q Does that method also require the setting of a
21 parameter ψ ?

22 A Yes, it does require the setting of a new parameter
23 ψ , yes.

24 Q Do you have any recommended value for ψ ?

25 A I do not. And to my knowledge the JALECs have not

1 proposed a value because that is not part of our plan.

2 Q Is it true that no witness has prefiled testimony on
3 the issue of how to set the value of psi?

4 A My understanding is that -- I am not aware of anything
5 in the BellSouth plan that does present a value.

6 Q Would you agree that for small sample sizes compliance
7 for measures with retail analogs should be determined using a
8 permutation test for mean measures and the hypergeometric test,
9 also known as Fisher's Exact Test, for proportionate rate
10 measures?

11 A I agree that a permutation test should be done for mean
12 measures, and that the hypergeometric, which is a form of
13 permutation test, should be done for proportion measures. For
14 ratio measures, I don't know if the hypergeometric would apply,
15 but there would be a form of permutation test that could be used.

16 Q Would you agree that for small sample sizes compliance
17 for measures with benchmarks should be determined using the
18 adjustment table for a 95 percent confidence interval?

19 A I don't believe so. My understanding is, but I'm not
20 certain about this, is that the benchmarks were set at a level
21 that allowed for a certain amount of variation below the ideal
22 level. And this is evidenced by the fact that the BellSouth plan
23 does not call for the use of statistical methods for sample sizes
24 in excess of 30. That is my understanding is that they do not
25 call for statistical methods for sample sizes above 30.

1 So under this understanding, I don't believe there is a
2 need for statistical methods for sample sizes under 30, although
3 I do agree with the chart that is in the JALEC plan for allowing
4 for essentially rounding up of the number of successes.

5 Q Would you agree that for purposes of a performance
6 enforcement plan balancing Type I and Type II errors is more
7 critical with small sample sizes than with larger sizes?

8 A Well, I think to some extent for reasons that I was
9 talking about before, that there are issues that arise at large
10 samples that mean that balancing has some -- has some limitations
11 at large samples that doesn't arise in small samples. So, the
12 answer is yes.

13 Q In BellSouth's proposed penalty payment mechanism, do
14 you agree that the penalty is based on some estimate of the
15 number of discriminatory transactions?

16 A No, I don't.

17 Q All right. Does BellSouth propose to estimate the
18 total number of transactions that did not receive parity service
19 or only the portion of transactions for which disparate service
20 was detected?

21 A I know you have read this about four times already, but
22 can you do it one more time for me.

23 Q Sure. Would you agree that BellSouth's plan only
24 proposes to estimate the number of discriminatory transactions
25 while only looking at the portion of transactions for which

1 disparate service was detected?

2 A What their plan does, I think, certainly does not
3 provide a measure of the number of transactions that are above
4 the number of failures, let me say that are above and beyond
5 parity. I also don't really think it gives a measure of the
6 number that are in excess of compliance, but in some sense it
7 comes closer to that in the follow sense, that if there is --
8 suppose that we are looking at something like missed
9 installations, and the BellSouth percentage is five percent. And
10 let's suppose that however one gets to that, that the decision
11 that they are out of compliance begins at ten percent. So that
12 if for any particular sample we observe 6, 7, 8, or 9 percent in
13 the ALEC sample, that would be judged to be in compliance, but if
14 we observed something in excess of 10 percent it would be judged
15 to be out of compliance.

16 Let's suppose that we observed a number that was just
17 bigger than 10 percent, like 10.1 percent. The way they compute
18 the parity gap and the affected volume, that affected volume
19 would be very, very small. And as the proportion of ALEC
20 failures gets closer and closure to 10 percent, the affected
21 volume gets closer and closer to zero.

22 What that says to me is that what the affected volume
23 is measuring is not how big the excess is of ALEC failures to
24 BellSouth failures, which in this case would be five percent of
25 cases, but it is saying something about how much above the cutoff

1 for BellSouth being found in compliance are they. So that if
2 that is what your question was asking, the latter part of your
3 question was asking about, I think it's closer to that, but even
4 so I don't think it really is a measure of that.

5 CHAIRMAN JACOBS: Is there is anyway to refine that?
6 Because it sounds like what you have to do is figure out either a
7 better benchmark or a better sensitivity analysis, I guess.

8 THE WITNESS: Well, I think that what is purported to
9 be affected volume is not affected volume. And that in my
10 particular example that if one really wanted an affected volume
11 it would be something that subtracted the number of BellSouth
12 failure rate from the ALEC failure rate. But I'm not sure that
13 that would really lead to a coherent remedy payment, because one
14 would need to be sure that that was jibing with the transaction
15 amounts that are used to multiply the affected volume. And I
16 don't understand the justification for those at all, so it's not
17 clear to me how to fix the problem that I see with the affected
18 volume calculation.

19 BY MR. FUDGE:

20 Q Are you familiar with Mr. Coon's Exhibit 6 where he
21 provides calculations for various Tier-1 remedies?

22 A Yes.

23 Q So are you saying that you do not know how the
24 calculations need to be changed to estimate the total number of
25 transactions that did not receive parity service?

1 A Could you restate the question again.

2 Q Sure. You stated earlier that you didn't -- to
3 Chairman Jacob's question that you didn't know how to fix the
4 problems with calculating disparate service whenever they are
5 based on just those where disparate service is detected, and
6 Mr. Coon's example shows the calculation of Tier-1 remedies for
7 various disparate service, but only calculates penalties on a
8 proportion of those disparate service. So do you know how those
9 calculations could be fixed to reflect the total number of
10 transactions that did not receive parity service?

11 MR. PRESCOTT: Mr. Chairman, if I might interpose at
12 this point. I think Mr. Coon testified yesterday that the
13 numbers in here in this calculation or this example were for
14 illustration purposes only and were not accurate numbers. So I
15 don't know that there is any way that Doctor Bell would be able
16 to calculate to figure out what is wrong with this particular
17 problem.

18 MR. FUDGE: I'm just talking about the formulas.

19 MR. PRESCOTT: Okay. As long as he is not being asked
20 to fix this.

21 MR. FUDGE: Not fix the table, but fix how the table is
22 calculated.

23 CHAIRMAN JACOBS: Conceptually. Okay. Doctor Bell.

24 THE WITNESS: No, I don't. Because this is -- I don't
25 know that there really is a right answer for what the affected

1 volume should be without understanding the entire calculation,
2 which includes the factor for -- the per unit factor. In the
3 first table there is \$100 per unit, and the real question is what
4 is that unit and what should it be.

5 CHAIRMAN JACOBS: One of the things -- I'm trying to
6 remember which testimony it was, and it may be totally out of
7 context, but if I recall I believe it was Ms. Marsh's testimony
8 that said at this point you begin to apply some factors, and one
9 of the factors is how long these volumes have been affected and
10 how critical they are to development of competition. Is there a
11 way to get that into this? And this is purely hypothetical, and
12 I don't even know if it works into the formula at this point.
13 But if we come to a point such as this and we are trying figure
14 out -- it sounds like what we are trying to figure out is, okay,
15 we know that there is some disparity, it sounds like.

16 THE WITNESS: Yes.

17 CHAIRMAN JACOBS: And now we are trying to figure out
18 whether or not that disparity is significant enough to want to
19 pay attention to it in some way, form, or fashion. And what I
20 understood the rationale would be is then what you want to do is
21 figure out to what extent it -- it has been happening with some
22 level of frequency.

23 THE WITNESS: Yes.

24 CHAIRMAN JACOBS: And to what extent it disrupts the
25 emerging competition. That is a very fungible, tangible kind of

1 a thing, but this seems more esoteric. Is it possible to do some
2 level of blending here to have that reflected in the result that
3 we achieve?

4 THE WITNESS: Well, I mean, it certainly might be
5 possible. What I'm saying is that I don't understand the
6 rationale of their calculation which they call affected volume,
7 which seems to me to not in any sense be a real attempt to define
8 a number of cases that were in violation. I don't understand the
9 rationale of that and how they came to these numbers like \$100
10 per unit. And so to try to compute something that I would think
11 could rationally be called an affected volume and then tie it to
12 their dollar amounts doesn't seem like it would necessarily fix
13 the problem.

14 CHAIRMAN JACOBS: I see.

15 BY MR. FUDGE:

16 Q Would you look at Step 4 of the calculations on
17 Mr. Coon's exhibit.

18 A Yes.

19 Q Beginning with that step, could you explain whether any
20 changes to that step would need to be made to have the affected
21 volume more accurately reflect the level of disparate service?

22 A Yes. What this piece of the step computes is something
23 called a parity gap. And the parity gap is equal to the
24 difference between the observed truncated z score and the
25 balancing critical value. So, for instance, let's say that the

1 balancing critical value was 2 -- was minus 2, and that the
2 truncated z score was for simplicity minus 3. What this does is
3 it computes the difference between those two numbers, which is a
4 value of 1, and then in a later step, Step 5 will multiply that
5 by .25. But let's focus in on that difference of 1. It is
6 looking at the difference between the balancing critical value
7 and the truncated z.

8 I gave an analogy in the deposition where I said
9 suppose that there was a highway where the speed limit was 65
10 miles per hour and the highway patrol patrols this highway, but
11 they have a policy of not stopping anybody unless they are going
12 at least ten miles an hour over the speed limit, so unless they
13 are going at least 75 miles per hour. And let's suppose that I
14 make the mistake of going along on this highway at 77 miles per
15 hour and they pull me over. And it turns out that the fine is
16 based upon how fast I was going.

17 I think it is very unlikely that what they would do is
18 say, well, if you had been going two miles an hour slower we
19 wouldn't have stopped you, so we are going to base your fine on
20 two miles per hour and say multiply that by \$10 and fine you \$20.
21 Instead, I think they would say you were going 12 miles over the
22 speed limit, so you are going to pay 12 times \$10, \$120.

23 Well, this parity gap calculation to my mind is like
24 saying, well, they were only out of compliance by two miles per
25 hour, that's all they have -- that is all they have to pay for.

1 A more reasonable calculation to me would say how much out of
2 parity -- now that we have determined that you are out of
3 compliance, how far from parity are you. And that would be
4 something that would be based on the difference between what was
5 observed and parity. In other words, something that would look
6 at the z score directly. And that, in fact, is what the JALEC
7 plan does. It looks at the z score and standardizes it by
8 dividing it by the balancing critical value.

9 Q So what would be the parity gap for the example you
10 just gave?

11 A In the example I gave the parity gap is 1.

12 Q But what do you think it should be?

13 A I wouldn't go through a calculation based on a parity
14 gap. The analogous number I think that should be used instead of
15 1, I believe is 3, because in standardized units that is the
16 difference between parity and what was observed. I mean, if you
17 are talking about a parity gap, I would assume that should mean a
18 difference between what was observed and parity, and that would
19 be a difference of 3 as opposed to a difference of 1.

20 Q Following along with your example with the parity gap
21 at 3, would Step Number 5 be appropriate?

22 A Well, it would seem more appropriate at that point.
23 But, again, it is part of a whole system, and the rationale -- I
24 have never seen a rationale for the slope of .25, and exactly how
25 to determine -- the Step 5 is computing the volume proportion.

1 How to determine that volume proportion is hard to say.

2 Q Well, would you agree with your adjustment to Step
3 Number 4 and the parity gap of 3, that the remainder of the
4 calculation would be appropriate? More appropriate?

5 A Well, I mean, I think my testimony on Step Number 5 was
6 that it didn't necessarily make sense to me, so I'm not sure
7 whether it would make sense to continue.

8 COMMISSIONER DEASON: Let me ask a question. I'm
9 looking at the exhibit attached to Mr. Coon's testimony, DAC-6.

10 THE WITNESS: Yes.

11 COMMISSIONER DEASON: Page 4. Do you have that?

12 THE WITNESS: Yes.

13 COMMISSIONER DEASON: I'm trying to understand, are you
14 indicating that the procedure he follows in calculating the
15 parity gap and then dividing that by four is not appropriate and
16 that there should simply be a penalty applied for every instance
17 in which there is a violation, which I think is captured in the
18 column entitled I sub C?

19 THE WITNESS: I'm not testifying as to what I think an
20 appropriate calculation would be to lead to a transaction-based
21 remedy. My testimony is really about a problem I see in terms of
22 doing a calculation which, in essence, seems to be saying let's
23 pay remedies on the amount above and beyond the limit where we
24 were found out of compliance as opposed to above and beyond
25 parity.

1 COMMISSIONER DEASON: See, I guess I understand -- and
2 correct me if I'm wrong, because I may very well be, but I
3 understand that the reason for this particular exercise by
4 Mr. Coon is to try to come up with an appropriate remedy amount
5 given that in this example BellSouth itself is missing 9 percent
6 of the time, so we are looking at a disparity between their 9
7 percent and what is being provided to the ALEC, which is 16
8 percent.

9 THE WITNESS: That's right. I'm not saying that all 96
10 ALEC failures should be paid on. Because if there was parity
11 there would be some ILEC failure. So I'm not saying that all 96
12 should be paid on. And, again, because of the problems with this
13 table, my understanding is that there would be no payments made.
14 So I don't want to get into too many details on this particular
15 table because of the problems with it. But, again, I'm not
16 saying that every ILEC failure is a transaction that should be
17 paid, just that the formula that is used here does not
18 necessarily lead to anything approximating a reasonable
19 definition of affected volume.

20 COMMISSIONER DEASON: So you don't have a recommended
21 way to improve this?

22 THE WITNESS: No, I don't. Let me mention one other
23 concern I had about the table, which is that you will notice in
24 the last column there are numbers in seven of the ten rows, and
25 three of the rows have a blank for affected volume. And that

1 comes about in one of the later steps. I'm not sure, I think it
2 is Step 6 indicates the rule for determining whether or not there
3 should be an entry in the column. I disagree with the rationale
4 for excluding certain cells because those cells -- given that the
5 way they compute the volume proportion takes into account all ten
6 cells, I believe that the affected volume should be computed for
7 all ten cells. In particular, the three cells that are not
8 included there have contributed to a reduction in the volume
9 proportion, and so it seems rational -- it seems mathematically
10 inconsistent to me to exclude them from the computation of
11 affected volume.

12 COMMISSIONER DEASON: But you would agree for those
13 three cells it appears that BellSouth provided a greater degree
14 of service to the ALEC than they provided to themselves.

15 THE WITNESS: That is correct. However, that has been
16 taken into account by the fact that those three cells would have
17 reduced -- would have made the truncated z less extreme, which
18 would have led to a smaller parity gap and, therefore, a smaller
19 volume proportion. And so BellSouth certainly deserves credit
20 for those three cells, but I believe that they have already
21 received it in the volume proportion, and there is no reason to
22 then use it in the affected volume.

23 BY MR. FUDGE:

24 Q Doctor Bell, if you look at the second row in that
25 table, and you see that the number of ILEC observations is 600,

1 and that the number of missed installations is 96. Suppose that
2 there was a 95 percent benchmark. That would mean that BellSouth
3 would be able to miss 30 installations, so does that mean that
4 there would be penalties on the 66 remaining missed
5 installations?

6 A So I assume that what you are doing is modifying this
7 example so that it is no longer a retail analog. So that we
8 ignore BellSouth data, and we set this as a benchmark where they
9 have to make 95 percent of the installations on time?

10 Q Yes.

11 A Yes. Then the benchmark would -- under the benchmark
12 you would expect them to miss only 30, and so there would be an
13 excess of 66.

14 Q All right.

15 A Now, that is not -- that calculation has nothing to do
16 with the JALEC plan.

17 Q In the ALECs proposed penalty payment mechanism, do you
18 agree that penalties are based on the presence of discrimination
19 in a particular measure with greater penalties assessed as a
20 statistical certainty of discrimination increases?

21 A Yes.

22 Q Earlier you were asked by Mr. Lackey about the table
23 that you prepared and whether BellSouth's proposal is accurately
24 reflected in that table. Do you remember that question?

25 A Yes.

1 Q Would you please explain how you believe BellSouth's
2 proposal implements the balancing critical value technique for
3 proportion measures?

4 A There is a critical step in -- maybe critical is not
5 the right word to use in talking about balancing critical values.
6 There is an essential step in computing the balancing critical
7 value which requires specification of an alternative hypothesis.
8 Let's assume that the BellSouth percentage was five percent. We
9 are going to balance at some ALEC proportion that is assumed to
10 be larger.

11 There are a number of ways we could come up with that
12 proportion. We could simply specify it based on some knowledge
13 about the business, or we could do it indirectly through a
14 parameter delta that involves a transformation that is described
15 in my testimony, or one could do it, for example, using an odds
16 ratio. If one chose an odds ratio of 2, that would imply an ALEC
17 proportion of almost 10 percent, just slightly less than 10
18 percent. And then once the alternative hypothesis is determined,
19 the two methods pretty much converge again and would be very
20 similar. Excuse me, once the alternative hypothesis -- yes, they
21 would be very similar.

22 Q So are you saying that your table does reflect the
23 methods that you just described?

24 A I'm sorry, I couldn't hear.

25 Q Are you saying that your table reflects the methods for

1 using the balancing critical value that you just described?

2 A No. My table reflects the impact of delta on
3 proportions for the method that the JALECs proposed. It does not
4 reflect the value of psi that might be used in BellSouth's plan.
5 However, I do think it bears some relevance to the BellSouth
6 plan. This same table was presented in Georgia by Doctor
7 Mallows. I believe it was the same table, it may have been. It
8 had slightly different rows.

9 It was presented by Doctor Mallows for use in helping
10 the Georgia Commission determine a value of delta to be used for
11 means. And I think it does -- it can be instructive in that
12 sense, although I will admit that a more appropriate exhibit for
13 understanding the impact of delta for mean measures would be the
14 table that appears and the discussion surrounding it that appears
15 in my rebuttal testimony that looks at a measure called time to
16 provision a dispatched retail or residential order.

17 Q If your table were to reflect the BellSouth's approach,
18 how would the numbers change?

19 A Well, the way the table would change is two-fold.
20 Instead of the first row on the right saying delta, it would have
21 an entry called psi, P-S-I, the Greek letter psi. And then under
22 that instead of .25, .5, and 1.0 would be alternative values for
23 the parameter psi. None of these values would make sense for
24 psi. Psi would always be a value greater than 1. So it might
25 have columns for 1.5, 2, and 3. And then the entries in the

1 table would look something like that, but they would all be
2 different than the ones shown here. But the basic format of the
3 table would be similar except delta would be replaced by psi and
4 the values would all change.

5 MR. FUDGE: Thank you, Doctor Bell.

6 CHAIRMAN JACOBS: Questions, Commissioners. Redirect.

7 REDIRECT EXAMINATION

8 BY MR. PRESCOTT:

9 Q Doctor Bell, to your knowledge has the value of psi
10 ever been an issue in this docket?

11 A I have not seen any direct discussion of it. I know
12 Doctor Ford mentions it, but I do not believe that he describes a
13 value. Mainly he discusses that there would need to be a
14 decision about it. Doctor Mulrow mentions values of psi, but
15 does not, to my knowledge, advocate any particular value.

16 Q Okay. With respect to the truncated z, is that a
17 statistical procedure for determining a test statistic?

18 A Truncated z is a test statistic, yes.

19 Q And the truncated z operates separate from, would you
20 say, or would you agree that it -- well, does it operate
21 separately from the remedy calculation? Is it a separate
22 calculation as opposed to truncated z?

23 A You mean the remedy calculation?

24 Q Right.

25 A The truncated z is separate from the remedy

1 calculation. In the JALEC plan, the remedy calculation -- I'm
2 sorry, the JALEC plan does not use truncated z, so we are talking
3 about the BellSouth plan. The BellSouth plan does use the
4 truncated z in its remedy plan specifically in Step 4 of the
5 Exhibit of Mr. Coon's exhibit that we were just talking about in
6 computing the parity gap.

7 Q So there could be a separate remedy calculation used
8 other than the one that is proposed by BellSouth with truncated
9 z?

10 A That's right. I mean, there is this connection that
11 the truncated z from the statistical component is used in the
12 remedy calculation, but each could be done separately.

13 MR. PRESCOTT: Nothing further.

14 CHAIRMAN JACOBS: Very well. Did we mark --

15 MR. PRESCOTT: I don't think we marked --

16 CHAIRMAN JACOBS: -- the exhibits, Doctor Bell's
17 exhibits. Why don't we mark Composite Exhibit 27, and those
18 are -- I think it was the 1 through 2, correct?

19 MR. PRESCOTT: Are we on 27 or 26?

20 MR. CARVER: We are on 27.

21 CHAIRMAN JACOBS: 27. The late-filed was 26, so we
22 will make that Composite Exhibit 27. And without objection --

23 MR. PRESCOTT: I would move it into the record.

24 CHAIRMAN JACOBS: -- show it moved into the record.

25 Thank you, Doctor Bell. You are excused.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

The next witness, Doctor Ford.

(Composite Exhibit 27 marked for identification and
admitted into the record.)

(Transcript continues in sequence in Volume 7.)

1 STATE OF FLORIDA)

2 :

CERTIFICATE OF REPORTER

3 COUNTY OF LEON)

4

I, JANE FAUROT, RPR, Chief, FPSC Bureau of Reporting
5 FPSC Commission Reporter, do hereby certify that the
Hearing in Docket No. 000121-TP was heard by the Florida Public
6 Service Commission at the time and place herein stated.

7

IT IS FURTHER CERTIFIED that I stenographically
8 reported the said proceedings; that the same has been
transcribed under my direct supervision; and that this
9 transcript, consisting of 184 pages, Volume 6 constitutes a true
transcription of my notes of said proceedings and the and the
10 insertion of the prescribed prefiled testimony of the
witness(s)..

11

I FURTHER CERTIFY that I am not a relative, employee,
12 attorney or counsel of any of the parties, nor am I a relative
or employee of any of the parties' attorney or counsel connected
13 with the action, nor am I financially interested in the action.

14

DATED THIS 2ND DAY OF MAY, 2001.

15



16

JANE FAUROT, RPR
17 FPSC Division of Records & Reporting
Chief, Bureau of Reporting
18 (850) 413-6732

19

20

21

22

23

24

25