

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. UNDOCKETED

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

In the Matter of
HEDGING AND PORTFOLIO
MANGEMENT WORKSHOP

ELECTRONIC VERSIONS OF THIS TRANSCRIPT
ARE A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING
AND DO NOT INCLUDE PREFILED TESTIMONY

PROCEEDINGS: WORKSHOP


BEFORE: CHAIRMAN E. LEON JACOBS, JR.
 COMMISSIONER J. TERRY DEASON
 COMMISSIONER LILA A. JABER
 COMMISSIONER BRAULIO L. BAEZ
 COMMISSIONER MICHAEL A. PALECKI

DATE: Monday, May 14, 2001

TIME: Commenced at 1:30 p.m.
 Concluded at 3:20 p.m.

PLACE: Betty Easley Conference Center
 Room 148
 4075 Esplanade Way
 Tallahassee, Florida

REPORTED BY: KORETTA E. STANFORD, RPR
 Official FPSC Reporter



1 IN ATTENDANCE:

2 BARRY HUDDLESTON and DOUGLAS LAWRENCE, Senior Director
3 Strategy & Planning, Dynegy, Inc., 1000 Louisiana, Suite 5800,
4 Houston, TX 77002-5050.

5 ROBERT ELIAS, FPSC Division of Legal Services.

6 CHERYL BULECZA-BANKS, Department of Competitive
7 Services.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

P R O C E E D I N G S

1
2 CHAIRMAN JACOBS: Good afternoon. I'd like to take
3 this time to welcome you all this afternoon to a workshop that
4 we hope will be very informative and absolutely very timely,
5 given so much of the events that we've seen occur in the
6 natural gas markets and other markets over the last few months.

7 We thought an opportunity to sit down just to have an
8 understanding and a discussion more about how these markets
9 operate and then to begin to explore how one might approach
10 risk management. And that really is the goal here is to
11 explore how one would approach it and what are the most
12 reasonable measures that might be available to practitioners
13 out there.

14 Today's presentation is intended as a general
15 overview and kind of an insight into this whole issue. As you
16 probably are aware, there are dockets coming in the fall which
17 will deal with these issues much more squarely, and we had had
18 interest from various parties to make presentations. Subject
19 to the discretion of the prehearing officer in those dockets, I
20 would suggest that those requests be made more formally within
21 the context of the specific dockets.

22 And so, again, within discretion of the prehearing
23 officers, we will anticipate allowing some more focus and
24 detailed presentations from specific parties in the context of
25 those dockets. Having said that, we welcome you today, and we

1 appreciate your attention to this issue, and we look forward to
2 working with you in the coming months and in the next year or
3 so on resolving what we understand to be some really important
4 challenges as we take on this new brave world.

5 And with that, I would like to introduce our speaker
6 for today. His name is Barry Huddleston. We're glad he could
7 join us today. He is also a former employee of this great
8 agency, the PSC. He has instructed in the Department of
9 Economics at Florida State University. He has a Bachelor from
10 Ohio State University, and a Masters of Science degree in
11 Economics in Florida State. He also has extensive work toward
12 a PhD in economics at Florida State. With that,
13 Mr. Huddleston.

14 MS. BANKS: If I could just say one thing right now,
15 for those CPAs who are in the audience, there is a sign-up
16 sheet that's right in back of this table right here that you
17 can sign up for CPAs.

18 MR. HUDDLESTON: Is this on? Well, I'm pleased to be
19 back here. It's been quite a while. In fact, Joe just came up
20 and reminded me that, oh, it was about 15 years ago, I guess,
21 Joe and Roland were students of mine when I was still at
22 Florida State; actually, probably longer than 15 years ago, but
23 it has been quite some time.

24 What I'm going to do is sort of tee things up for
25 Douglas Lawrence, who is the Senior Director in our Planning &

FLORIDA PUBLIC SERVICE COMMISSION

1 Strategy Group. Douglas is sort of the subject matter expert,
2 I'm your overview guy, and to give you a little bit of an
3 introduction to Dynegy, for those of you who may not know much
4 about the company, Dynegy was established in 1984 as Natural
5 Gas Clearinghouse, one of the first natural gas marketing
6 companies.

7 We're currently headquartered in Houston, although we
8 are now an Illinois corporation by virtue of having to comply
9 with the Public Utility Holding Company Act, since we bought a
10 utility last year. We're right now 54th on the Fortune 500
11 list. We're a member of the Standard & Poor's 500 and we have
12 about 6,000 employees. And for those of you who can buy and
13 sell stocks, we're DYN on the New York Stock Exchange.

14 As a profile of the company, we're in a lot of
15 different businesses, transmission and distribution; we have,
16 as I said, a utility in Illinois; we now are a global
17 communications provider. We're primarily, though, focused on
18 what I'd call the energy convergence business, the convergence
19 of gas and power into an energy marketplace.

20 Our 2000 revenues were \$29 billion. We've got about
21 \$16 billion in assets, \$16 billion in market value. We own
22 right now about 16,000 megawatts of generating capacity around
23 the United States. We trade about 11 BCF per day in natural
24 gas, 134 million megawatt hours sold as a marketing company,
25 and a lot of liquids and propane sales as well.

1 I came with Dynegy in the Destec Energy merger.
2 Having left the PSC here, I guess, it was early 1991 to join
3 Destec Energy. And Destec merged four years ago with NGC
4 Corporation and became Dynegy just shortly after that. But
5 Dynegy's gone from a single employee partnership in 1984 to
6 about 6,000 employees now and almost \$30 billion in annual
7 revenues.

8 We also serve about a million and a half retail
9 customers throughout the United States, primarily through what
10 we call alliances. We enter into a lot of strategic alliances
11 with existing providers, both gas and power providers. In the
12 southeast, as you can see, we've formed Southstar with Atlanta
13 Gas Light & Piedmont, and do a lot of the gas marketing in the
14 Atlanta area.

15 We also formed on with Nycor and All-Energy in the
16 north. And we're currently expanding to Europe. We opened
17 offices in London and Milan, Luzanne and Holland.
18 Unfortunately, I didn't get any of those.

19 What we do is slightly different than many of the
20 marketing companies that you've probably heard about. Dynegy
21 is interested in taking physical positions and then trading
22 around those physical positions. That's, essentially, how we
23 manage our internal risk. So, in a lot of the areas where we
24 are trying to become more active, we're out there attempting to
25 construct and acquire generation.

1 So, most of our trading, as you can see, takes place
2 in California and in the midwest where we have a lot of
3 generating assets, the green dots on the chart. We also do a
4 lot of activity in Ercot and a fair bit in PJM, although at the
5 present time we still don't own any assets in that region. And
6 I had to use this, because this was our ad in "The Wall Street
7 Journal," and we like to get it out there. I'm not sure that
8 it has any real meaning, though.

9 To get to the meat of the topic, I guess, basically,
10 what Dynegy does and what we suspect most of the utilities
11 under your jurisdiction here do is attempt to manage the
12 volatility in the marketplace, through some kind of risk
13 management mechanism or series of risk management mechanisms,
14 you can hedge, you can use derivatives, you can do forward
15 contracts or, like most of us individually, you can take out
16 insurance.

17 Most of the utility risk managers around the country
18 though have focused on the uncertainty associated with earnings
19 and looked at price exposures as opposed to volumetric swings.
20 And so, what we used to always call the market risk associated
21 with losing and gaining customers, really haven't had the
22 effect until we got into the deregulated environment where
23 customers can now pick and choose their suppliers. And so, the
24 utility managers in those areas are having to start to look at
25 managing the volume, too.

1 Even so, there's still not very much activity, at
2 least from looking at the other commodities markets. In the
3 utility industry, there's not a lot of risk management that
4 takes place. And in looking through the literature, I guess,
5 there are really three reasons that I came across.

6 First, the pace of deregulation has slowed. And so,
7 in the areas where you had the real push for deregulation and
8 utility managers were looking for those mechanisms, that's now
9 slowed down. They see a lower perceived movement toward
10 deregulation.

11 The second one is where you end up with no incentives
12 in place. And I remember from the textbook that we used in
13 economics years ago, incentives matter. It's one of the
14 fundamentals of economic thinking, and the incentives do
15 matter. And if you don't have the incentive associated with
16 any risk management scheme, if there's only a downside, then
17 why engage in anything? And so, without the incentives, you
18 end up not really moving toward any of the risk management
19 tools.

20 And then, finally, once you end up with a movement
21 toward either deregulation or, in many cases, just a movement
22 forward in time, you end up with a more fundamental and
23 economic framework, and you end up moving toward a risk
24 management scheme. What we do, as a partner in all of that, is
25 effectively focus on three aspects of what we call the

1 marketing and trade opportunities. The physical asset, where
2 we're looking at asset delivery, customer relationships, and
3 having firsthand customer and market knowledge within the
4 territories.

5 The financial, where you end up with the exchanges;
6 for example, the Nymex, entering into long and short positions,
7 and looking at the settlement date. For example, in California
8 you end up with a 45 or 60-day settlement date from the date of
9 the transaction. And so, you end up with a long-term financial
10 exposure that has to be managed there.

11 And then, in the risk management area, we're
12 attempting to manage risk through a lot of different tools, and
13 I'll mention just three of them in a little bit, and then let
14 Douglas get more into detail, but we have the market-to-market,
15 we value the risk, we have spot intramonth and long-term
16 portfolios, and then we also get into weather derivatives and
17 potentially emissions trading.

18 What we have developed internally is really a series
19 of three linked areas. We have business-to-consumer, we have
20 the business-to-business, and then we have a neutral energy
21 exchange that we have partnered with a number of large
22 providers, like Texas utilities, for example. And we've formed
23 this trade spark, which is using -- it's called e-speed. It's
24 a network that you can go in and do neutral arrangements with
25 third parties. We also have Dynegy direct, which is for those

1 customers who want to do deals with Dynegy and go through an
2 hourly and daily trading. And then, we have the retail
3 alliances that I mentioned before.

4 As products, we offer weather derivatives and
5 real-time trading. We also offer, as services, transmission --
6 we'll enter into long-term firm transmission arrangements and
7 guaranteed deliveries and take the financial risk associated
8 with those deliveries. We also engage in futures, call
9 options, and the costless collar.

10 So, what are forward contracts? Basically, I had to
11 put this little chart in there to get the economist in me, but
12 you're buying a forward contract to agree to a price at some
13 future period. You can also sell or agree to sell a forward
14 contract so that you're going to be delivering a future price in a
15 future period. Then, you have options where you have the
16 option to engage in some activity. Most option contracts have
17 strike prices, expiration dates, and then some premium
18 associated with the right to call upon the operation in the
19 future.

20 Here's a quick example for a call option. Rather
21 than entering into a futures contract, you end up getting the
22 right to call upon on a specific date. In this example, it's
23 June gas that you've purchased on March 25th at \$5.11 at an
24 option price of 13 cents. So, in this scenario here the
25 purchaser, you're not too far above market, you're just paying

1 the 13% premium, but you end up where the all-in cost doesn't
2 exceed \$5.24. So, at anytime in the future you can call upon
3 that, and you've just paid the 13 cents for the right to do
4 that.

5 The futures contract is a variation where you end up
6 with a standard product that then can be traded in an exchange.
7 And so, you have a specified lot; for example, a 25-megawatt
8 lot that would be then traded amongst parties on a secondary
9 basis so that you have primary contracts associated with the
10 financial instrument, essentially.

11 In that same case, you have the March 25th -- yeah,
12 you have the March 25th, \$5.18 futures price, and you have a
13 spot price on May 25th, in this example, of \$5.72, so that you
14 end up being, on a daily basis, being able to see the value of
15 your futures contract and either liquidate or not liquidate on
16 a daily basis through the exchanges. But in the end, you end
17 up with the all-in cost of gas in this example of \$5.11. You
18 don't pay the 13% premium that you paid for the call option.

19 And then you have the costless collar, which don't
20 ask me to explain. I actually, borrowed this slide from
21 another presentation, and I'm not quite sure that I understand
22 this one myself, so we'll let Douglas explain that. And that's
23 the segue to Douglas. Douglas is our Senior Director in
24 Strategy & Planning within Dynegy marketing and trade.

25 MR. LAWRENCE: Thank you, Barry. I'm trying to get

1 rid of a cold, so if you can't hear me, holler. Appreciate the
2 time to speak in front of you. This is kind of a difficult
3 topic to talk with, given the wide range of backgrounds anybody
4 might have in the room here.

5 One thing I'd like to ask: If there's anything I say
6 that you flat out don't understand, whether you didn't hear it,
7 it didn't make sense, the term doesn't make sense, holler. I'm
8 here to answer any questions ya'll may have. I'm here for
9 ya'll and your time. Also, if I say something you disagree
10 with, either I stated it wrong or you might just have a
11 different view of the world, again, that's what I'm here for.
12 So please, speak up, and I'll try to get on the same page
13 there.

14 What I want to walk through, basically, is hedging in
15 general, then discuss some of what we call the enterprise risk,
16 how do you identify the risks that are out there. Depending on
17 what company you are, what industry you're in, there's a whole
18 -- just a large amount. And what I try to do is line them up
19 in very specific bullet points that you can kind of apply them,
20 whether you're a generator, whether you're developing widgets
21 in the economic standpoint, whether you're Cisco, Intel,
22 Microsoft, et cetera, walk through a couple of the commodity
23 risks specific to this industry and then kind of walk through a
24 couple examples.

25 First of all, does anybody have an idea what a hedging

1 program should be used for? Because the simple question I get
2 all day long is how do I know if my hedge was a good hedge or a
3 bad hedge? Any comments, ideas? Come on, somebody's got to be
4 awake back there.

5 Basically, the intent of a hedge is not to make money.
6 Whenever you hear somebody say, "I made a heck of a lot of
7 money on the hedge I executed," that's great, maybe you did.
8 That's called a speculative trade.

9 A hedge is nothing more than to reduce price volatility.
10 And you have to look at both sides of the equation, your costs
11 and your revenues. In certain parts of the country currently
12 you hear a lot of people talking about hedging their price
13 exposure. That's fine. If you don't hedge the revenue side,
14 you haven't locked in and you haven't lowered the volatility of
15 your earnings. I don't care what your product is and I don't
16 care what market you're trading in, you have to look at both
17 the revenue side and the cost side.

18 As Barry talked about, to lock in the revenue side, within
19 some certainty, that's why weather derivatives exist currently,
20 that is now how you hedge your volumetric risk; not price risk,
21 just the question of what is the absolute load I'm going to
22 send to my retail customers at some fixed and/or floating price
23 for some time bucket. That's the revenue stream.

24 The cost side comes into what field you're going to use,
25 what's the price you're going to have to buy power at if a unit

1 goes down, what insurance payments do you have to insure an
2 asset that might fall off-line. Example, with a Crystal Rivers
3 down here in Florida, if it drops off-line FPC has a pretty
4 hard boat to fill, walking down that path.

5 Key component of executing a hedge is identifying what the
6 risk is. If you don't even know what risk you're hedging,
7 again, I'd kind of question what kind of hedge program do you
8 have, it's nothing more than a spec trade. Of course, that's
9 what we do for a living. Other people don't necessarily have
10 incentive for that.

11 What you see on the screen there, I call it enterprise
12 risk. A lot of different terms. I kind of break it up into
13 three different buckets. You have the market or commodity
14 risk, financial risk, and then business or asset risk.

15 From the market or commodity risk you have fixed price,
16 which is what, basically by default, utilities basically are at
17 risk for. They are selling at fixed price. If they are buying
18 floating, like what happened in California, it becomes very
19 costly. You have a basis risk, which means you have a
20 financial product that's liquidly traded I can use to hedge,
21 but it may not be the same physical location that I actually
22 have to buy or sell the product at. The Henry Hub, versus
23 Florida zone two, zone three, et cetera.

24 Index risk, you could be buying fixed and you're selling
25 at a floating price, you don't know what that price is, that's

1 a risk. And then you end up having liquidity issues that the
2 market may be very liquid today, and I enter into a hedge in a
3 transaction knowing I may be able to roll out of it, and do
4 other activity.

5 Well, if all of a sudden liquidity disappears, which is
6 one of the worst things that can happen to a company like us,
7 and it happened -- I'll show you some graphs later -- back in
8 '9 -- I think it was '98 and '99, when Federated and a couple
9 of the other power companies in the midwest went under, the
10 worst thing that happens is liquidity dries up, then you have
11 people like us, three or four of us, standing around hitting
12 each other in the head. It's not very much fun, because you
13 can't trade. Nymex is very liquid. I go to buy Intel, I can
14 buy an unlimited amount -- I can't buy that much, but an
15 unlimited amount of shares, theoretically, without the price
16 moving too far.

17 The financial risk deals with any company, I don't care
18 where you're located. Now, Florida, you might be wondering the
19 foreign exchange risk. I put that up there, probably because
20 you do business with Mississippi. And I'm from there, kind of
21 to a degree, so I can say that, didn't want to offend anybody.

22 Credit risk, which is a very key component, and that's the
23 issue you've seen out in California. And I'm not hammering
24 California, but credit risk is a viable business risk you'd
25 have to insure against.

1 Any company, whether it's a utility or whether it's Cisco
2 or whether it's some other company, General Motors, they have a
3 fiduciary responsibility to insure their shareholders against
4 credit risk. And so, you have to look at ways to insure
5 against that risk and not just the market risk.

6 Then, the business and asset risk. Ya'll are probably a
7 lot better versed than I am, but you have the transmission
8 transportation, whether it's gas, whether it's power, whether
9 it's a coal train coming in, you have operational risk if an
10 asset falls off-line or a production unit goes off-line; legal
11 and regulatory risk and then also weather, which is basically
12 revenue and demand risk.

13 Now, this slide is somewhat outdated, but the intent is
14 looking at power, and this is looking at the supply risk or the
15 reserve margin, each region across the country, looking at it
16 from a NERC perspective, some are a little bit long supply and
17 some are a little bit short. And sitting in this room
18 everybody kind of understands and agrees with that.

19 That has a dramatic impact on how prices and the markets
20 themselves react. It has a more significant impact that is
21 power-specific. When you think of the implications on gas,
22 there's a lot of talk about nuc units being built, which is a
23 fantastic idea. They still don't know what to do with the
24 waste product after you generate. Until that's determined, I
25 don't see many nuc units coming online.

1 Coal is very nice and exciting, but it depends on what
2 your view of the market is, and they still have emissions
3 issues. So, the low cost of coal today may not be there five
4 years from now if they continue with the regulatory
5 environment.

6 Now, the fun begins. Again, if I say anything that
7 doesn't make sense, holler.

8 AUDIENCE: What are those numbers?

9 MR. LAWRENCE: Those numbers? I believe, everybody
10 can get a shot back at that. What you're looking at is in
11 1999, that's the reserve margin, basically, defined as the
12 expected peak, or instantaneous peak versus the amount of
13 supply, name plate generation capacity available.

14 AUDIENCE: I just don't remember is that 7 or 9%?

15 MR. LAWRENCE: That was a snapshot in time, yes,
16 taken from RDI, and that was a database about 18 months old at
17 the time we had it.

18 AUDIENCE: I just don't remember any numbers that
19 low.

20 AUDIENCE: I think, Roland, that's the firm plus and
21 unfirm.

22 MR. LAWRENCE: You can look at some specific pockets
23 in California, and they're 30% excess generation. You look at
24 it as an aggregate for the given area, the given NERC region.
25 And if you look at everything rolled in, that was the estimate

1 RDI had from the reported documents that are out there. That's
2 not necessarily our view of the world, but that is often
3 publicly-held documents that have been reported.

4 COMMISSIONER PALECKI: How do you explain the 39% for
5 the New York area for 2002?

6 MR. LAWRENCE: That's a good question. I was going
7 to come back to that one. It's not very high. Actually,
8 that's pretty close to what's going to be in there. Now, you
9 get into in-city, that's a whole different picture, and that's
10 what everybody's reading about today.

11 In-city New York, there's going to be problems.
12 Outside of New York City and in New York, in general, there is
13 about a 39% reserve margin. Location's key, like any real
14 estate. People are building all over the board. Like in
15 Texas, they're all over the board, not many in the northern
16 part of Ercot near Dallas.

17 There is a congestion automatically, about \$6 to \$7
18 right now, people are pricing up to go to from the southern
19 part of Texas to get up to the Dallas/Fort Worth area. Up in
20 the NPC city of New York in-city, very expensive, it's worth a
21 lot of money; outside, you can get it from a lot of different
22 areas. So, the reserve margin in aggregate for the region is
23 about 39%.

24 AUDIENCE: (Comment.)

25 MR. LAWRENCE: What do you consider nonfirm? That's

FLORIDA PUBLIC SERVICE COMMISSION

1 a good question. And if you record them as nonfirm, what's the
2 likelihood that Florida Power Corp.'s going to take 500
3 megawatts and just all of a sudden say boom, you signed a
4 contract, I'm blocking you out, because I can get up into
5 Georgia and sell it to Southern Company. I mean, I understand
6 what you're saying and this is, again, just taking the data
7 available from RDI, and there is a distinct difference. We've
8 tried to discuss that in all the regions across the U.S., what
9 is nonfirm and what -- because that's nothing more than an
10 hourly option, 15-minute option. What is that worth in
11 utilities if they're willing to actually exercise that? That's
12 a good question.

13 MR. HUDDLESTON: Yeah, one thing. In a lot of the
14 other areas of the country, the interruptible load isn't really
15 considered demand. It's actually a supply resource. So, you
16 end up, for example, in Ercot, the calculation there is that
17 you end up showing it on both sides, basically, or potentially
18 on the supply side, but not on the demand side. So in the
19 marketplace, as I see it in the future, where you've got the
20 ability to interrupt economically, and you have customers who
21 are willing to do that who are willing to bid into, for
22 example, the ancillary services market, we end up with in Ercot
23 having somewhere between 3 and 4,000 megawatts available to
24 provide the spinning reserves. And they're bidding in
25 economically to have themselves interrupted on 15-minute basis.

1 So, I think, you end up with some different numbers when you
2 start to look at it as a marketplace.

3 MR. LAWRENCE: The volatility, one comment on that is
4 by default that is the most misused word in trading, period. I
5 don't care who you're talking and how experienced the traders
6 are, because I misuse it every day. Volatility is nothing more
7 than another term used to describe an expected deviation around
8 an underlying mean in statistical terms. That's all it is.

9 It's taking standard deviation or variance, assuming
10 Black Scholes math, which is a normality of the distribution
11 coming up with a number percentage, but also takes into account
12 timed expiration. But you start trading volatility and a lot
13 of traders, theoretically, buy it low and sell it high and
14 think they made money and they really didn't, because the
15 underlying assumptions going into that math changes over time.

16 What you have is a gen stack, again, a snapshot in
17 time from what was available from the RDI power dat, looking at
18 the various units that are out there in demand for the FRCC.
19 And it's kind of interesting that they have two "S" hooks.
20 What I call the "S" hook is if you're kind of flatlined in the
21 middle part of the stack at around 10,000, going up to around
22 35,000, a lot of the regions across the U.S., that's pretty
23 flat line. Actually, this one appears from the snapshot we had
24 on prices that have kind of two humps there. You have
25 extremely low volatility when you have a lot of units around

1 the same generation cost trying to dispatch and shadow price
2 each other.

3 I can generate it at 25 bucks. I'm going to sell it
4 for 25 and a penny. I know somebody down the road's at 25 and
5 a nickel. The prices don't move too much. What happens is
6 when you get into the low load time frame where you have assets
7 that can't go off-line, a call unit can't ramp down very far,
8 it's actually going to start going in at a loss and get hit
9 zero price or negative and basically in order to stay on-line
10 so they can ramp up the next day, because if they ramp down it
11 may not come back up tomorrow, may not come back the balance of
12 the week.

13 Also, on the high end of the stack when you have the
14 loss of load probability, a lot of people call it there's a
15 trading term, but we won't go into that one today. The idea is
16 there's a fear you're about to run out of generation, what is
17 the price you would pay? And I don't think they've ever tested
18 that in the market. Although we've hit four-digit and
19 five-digit pricing, there is no comment or no price I've come
20 across from anybody out there of what would I receive as
21 payment from HL&P Reliant, who owns my AC unit, who shut it
22 down when it's 110 degrees outside, 100 humidity in Houston.
23 You know, I might can take a phone call from the wife and kids
24 saying, "The house is kind of warm, dad, what can we do about
25 it?" That's very expensive. So, you have a lot of high

1 volatility that occurs in those time buckets.

2 Now, when you look at supply and demand and you try
3 to apply that to market, there's different times of the day,
4 different times of the season, et cetera, that that volatility
5 takes into account.

6 What I was able to pull down on the next slide was
7 some actual hourly pricing from the last week or two upping
8 PJM. You can see the spikes, the -- I guess, the color varies,
9 the mauve color, I'm not sure what it is, that's the off-peak
10 hours. Basically, 11:00 and 12:00 at night and 1:00 through
11 6:00 in the morning. The white background is the on-peak, the
12 16-hour peak time frame. You can see all of those days, except
13 for one which went into a weekend, spiked up to about 85 bucks.

14 The volatility on the off-peak time frame, you can
15 see, actually goes to zero in one of those days and then runs
16 back up to the mid 30s again. That's extremely volatile from
17 an absolute price. It doesn't spike to four or five digits.
18 When you go from 30 bucks down to zero and then back up to 30
19 bucks, that's a pretty good price move.

20 Now, this is just a kind of a breakdown of the fuel
21 risk that exists out there between Florida versus the rest of
22 the U.S.; 23% gas, give or take, about 36% coal, 20% oil. The
23 rest of the U.S. and aggregates around 53% coal. The thought
24 process over the next five to ten years, if 95% plus of the new
25 generation is going to be gas-fired, those pie charts are going

1 to change dramatically, which brings into question the
2 integrity of the gas grid that's out there.

3 I won't talk about that today, but it has
4 implications when you're looking at you own an asset, and you
5 have to hedge your fuel, you have to hedge your power, you have
6 to hedge your revenue streams, there's a lot of issues you have
7 to think about.

8 Now, this is a graph I have to include, just because
9 I'm a simple trader. I like graphs. The math doesn't do that
10 much for me. That's an example of a \$3.25 expected price for
11 gas. Relatively low volatility of 35%, which again, assumes
12 some timed expiration. You can see, if you go to say, hey,
13 what's the chance of hitting five bucks, it's very slim. It's
14 not going to move out there very far. It's pretty tight
15 distribution right there around the main.

16 When you increase the volatility, you can see now the
17 chance of hitting five bucks actually exists out there, same
18 number simulation, same graph. All we did is change the
19 volatility of the distribution, flattens it out and moves the
20 price, which means it's just going to jump all over the board.
21 So that's, in essence, what volatility means.

22 Now, is there any day traders, ex-day traders in
23 here? Uh, huh, got one. I used to be one, too. Now my kids
24 aren't going to college, but that's all right. If you look at
25 the chart that's up there, that's the volatility of natural

1 gas. The green line is actually Yahoo. The white line is the
2 Nasdaq Composite, and then I've categorized three regions
3 across the country; west, which I used El Paso, San Juan,
4 midwest was Appalachian Columbian Gas, Techco, and then east
5 was Transco Zone 6, and I'm New York.

6 And what I looked at was the spot cash prices that
7 were realized, the index prices, for that time frame and then
8 did a rolling 20-day period. And the reason for doing that,
9 it's doing a log-to-log of the return, standard deviation and
10 all that math.

11 The reason I did a rolling 20-day period is to kind
12 of see how the volatility moved through a month and through
13 season. You can see it spikes up in the winter, as you would
14 expect, but if you look at the last part of '00 going into '01
15 the volatility not only rocked up extremely high for gas, it
16 started to increase on the length that it's staying there
17 which, again, indicates the fundamental market itself has
18 shifted. It doesn't have a spike or two in the winter. It's
19 spiked, but now it's staying up there and it's a lot longer in
20 duration than had been historically. And Yahoo, I didn't show
21 the price chart, but that was a pretty volatile stock.

22 Now, if you look at power, significantly different.
23 It makes Yahoo and the Nasdaq look almost flatlined. You can
24 see in '98 and '99 extremely high price spikes. Those are the
25 bald spikes. That's where a lot of companies went bankrupt.

1 They were taking a very small premium for credit risks and
2 assumed volatility. And you can be making money all day long,
3 netting those premiums by selling options, but all of a sudden
4 when they get struck, one day can put you bankrupt, and that's
5 what happened.

6 You can see also the fundamental market there this
7 summer, the volatility didn't spike quite as high, but it's a
8 little bit longer, a little bit longer in duration because of
9 all the unknown. And again, that just shows power as volatile
10 as the Nasdaq or Yahoo, I kind of put that for comparison. The
11 power itself is a lot more volatile.

12 Now, I'm not going to run through these directly, but
13 this is each one of the three regions broken out, so you can
14 see instead of all power or all gas, it shows the two
15 commodities and the Nasdaq on top.

16 Now, the one I will concentrate on PJM east, the red
17 line. You have the Nasdaq and Yahoo, you have gas, and you
18 have the power. That red line that's on top of both those,
19 that's the volatility, the spark spread between gas and power,
20 and I'll come back to that in a minute.

21 The idea when you have a gas-fired asset, I'll use
22 that for simplicity sake, you theoretically have fuel exposure
23 on gas, you're short gas, and you're long power. So, you have
24 power exposure, revenue exposure, but that, by definition,
25 takes into account the underlying movements of two markets.

1 It's not just the power market, it's not just the gas market,
2 it's two markets together.

3 The way those markets move together, that's why the
4 red line itself is more volatile than either one of the
5 commodities themselves. A lot of people ignore that and still
6 do. Does that make sense?

7 CHAIRMAN JACOBS: Quick question.

8 MR. LAWRENCE: Yes.

9 CHAIRMAN JACOBS: We saw some -- I believe, it was
10 during one of the midcourse correction dockets. We saw the
11 natural gas lines, and they didn't seem to be that volatile
12 during the last summer they got -- then the fall and winter is
13 when it appears they got more volatile.

14 MR. LAWRENCE: Right.

15 CHAIRMAN JACOBS: Your data seems to indicate they
16 started earlier than that.

17 MR. LAWRENCE: Let's go back to the gas one.

18 Again, keeping in mind volatility's the most misused
19 term out there. You do have the winter spikes you see coming
20 in around December of '98, the pink and red line, that's
21 basically your west and your east gas, then the same thing
22 going into -- starting in November of '99 and Jan/Feb of '00,
23 2000. Then, what's happened is that actually the west, that
24 blue line -- let me show the west specific. It started blowing
25 out almost a year ago --

1 CHAIRMAN JACOBS: Okay, I see.

2 MR. LAWRENCE: -- which is the purple line. It
3 started back in the summer Q2, Q3. It started around June of
4 '00. That's the pink line, that's power and gas, and that's
5 kind of dwarfed, because those are so volatile. Basically,
6 starting around September you can see the lines break out for
7 the west which are red, then they just ran through the roof in
8 the winter, and they've been there ever since.

9 CHAIRMAN JACOBS: I see.

10 MR. LAWRENCE: So, yes, it is more volatile in the
11 winter, but this past, the Q3, people were worried about this
12 winter coming up, the prices started moving around quite a bit,
13 that's without any major hurricanes hitting.

14 Now, kind of running off what Barry had hit on
15 briefly, to insure the predictable cash flow, you've got
16 various risk exposures you need to worry about as a utility.
17 You have power, fuel, revenue stream, et cetera.

18 The easiest way to execute those, if I go and -- we
19 don't do this as a company, either -- if I go and try to get
20 some sexy, exotic derivative out there and go execute it,
21 chances are I'm not going to know what I'm doing. Because by
22 the time you take it apart, repackage it back together and get
23 a price, a dollar I'd pay to buy or sell that, chances are it's
24 so convoluted, we have no idea what we're getting into.

25 The key component is you have to identify each

1 individual risk bucket that you deal with. That was the
2 enterprise risk you handle, whether it's fuel, whether it's
3 power, whether it's revenue, which is weather-related, et
4 cetera, tear them apart individually, then determine how
5 they're related back and forth, then you determine what your
6 portfolio risk is.

7 A lot of companies I've seen, and a lot of customers
8 we deal with, thought they were just -- they were opened to the
9 gazoo, they were about to go bankrupt; I mean, they had a lot
10 of risks they were dealing with, yes they did. When you put it
11 together in a portfolio, they're pretty well self-insured and
12 self-hedged and had very little risk they were actually dealing
13 with, but they were churning and burning paper all day long
14 trying to hedge that exposure that, theoretically, didn't
15 exist, but the fuels manager thought he was wide open, the
16 power guy thought he was wide open, the guy doing coal and
17 emissions had their own book going, and the corporate entity,
18 overall enterprise risk, wasn't keeping in control of the
19 overall position of the company. And at the end of the day,
20 they were pretty well self-insured and self-hedged.

21 The analysis I go through here talks about a single
22 security analysis; i.e., power and gas widget, you name it. The
23 graph there looks -- that was a snapshot back from March 2000
24 and looked at April of '00 out for 12 months. The blue line on
25 the bottom is what the actual futures contracts were trading

1 at, the individual 12 monthly contracts at Henry Hub. The red
2 line indicates what the actual average of the monthly cash
3 prices were.

4 So, by default, if I was short gas and I had to buy
5 gas, would it have been more beneficial to lock in that blue
6 line on the bottom than pay the red line up top? Well, from a
7 financial perspective 20/20, yes, I don't think anybody in here
8 would say no. With the intent of executing that hedge and
9 locking in that blue line, would that have been a good trade or
10 a bad trade if I did it today, 30 minutes later, I get all my
11 deal sheets together, okay, I've got a fixed price for gas for
12 the next 12 months. If it's to say that you thought gas prices
13 were going up and you want to lock in a low price today, that's
14 a spec trade, that's not a hedge. See the difference?

15 Yes, it was a great trade, it was a great hedge, but
16 I hedged it not because I thought the price was going up. I
17 hedged it mainly to hedge my cost. I wanted to know what my
18 cost was going to be, and so you're going through the decrease
19 in your earnings over time.

20 That's the example of this one here. Those two
21 graphs, the average cost for each of those time periods, is
22 \$4.16. One, the curb is in backwardation, which means it's
23 going down over time; the other, contango, which means it's
24 just it's a positive slope going up from day one to day x. The
25 average price on each one of those is 4.16. If a floated in

1 the market and bought it every day in either one of those
2 markets, I would have paid on average \$4.16.

3 Now, back on Barry's example that he had up there, I
4 won't spend much time, because he already went through it once.
5 The idea of this is for case A, basically, the price ran up;
6 you locked in a price, the price went up, you theoretically had
7 a good hedge or a good trade. Case B, the price ran down.
8 You're thinking, well, jeez, I could have bought the spot at
9 \$4.50, instead of locking in \$5.11 back in March. Again, Case
10 B is not a bad trade. You wanted to lock in your \$5.11 cost.
11 That's why you executed the hedge. Yes, you lost 61 cents,
12 because the actual average price went down to \$4.50 in the spot
13 market, but you're guaranteed to pay \$5.11.

14 So, you have to define what is the reason I'm
15 executing the hedge? What's the reason I'm getting into the
16 trade? Is it because I'm going to arb the market and, I think,
17 the market's going up or going down? That's not a hedge.

18 Now, the other example Barry talked about is you,
19 basically, get a call option to lock in a cap or a maximum
20 price. Basically, the costless collar, in order to do that
21 previous example, you have to pay 13 cents. That's a premium
22 you have to pay out of pocket cash flow today.

23 Some companies are not willing to pay that insurance
24 premium, and so in order to offset that they can sell a put
25 into the market. And, basically, by selling the put, you're

1 locking in a floor on how far you can take advantage when the
2 market goes down; which, in this example, if you have the \$5.11
3 call, you could take the 13-cent premium, go through the market
4 and find out you can get a \$4.37 floor.

5 So, you flowed in the market from 4.37 to 5.11, you
6 pay no more than 5.11, but you have to pay at a minimum 4.37.
7 Does that make sense? That's the costless collar. It doesn't
8 cost you any cash today. You receive premium for selling the
9 put and you pay the premium out for buying the collar.

10 AUDIENCE: Is that done in two separate transactions?

11 MR. LAWRENCE: Two separate transactions. Sometimes,
12 you can do it with the same counterparty or the same person
13 that's out there. Sometimes people are willing to pay, instead
14 of 13 cents, some are willing to pay, what, 6 1/2 cents, so
15 volumetrically now you don't have a perfect collar, because
16 you've locked in your total 5.11 up top, but you only sold half
17 the amount on the put side. Now, I'll come back to some more
18 general comments on hedging.

19 Let me run through the multiple security analysis, I
20 call them the spread options. If you're converting Deutsch
21 mark to yen, different interest rate tenors, that's a spread
22 option. You've got two underlying commodities, two underlying
23 markets you deal with. For a generation asset I'm going to
24 concentrate mainly on the fuel component and the power
25 component. I kind of alluded to that earlier.

1 Basically, you have the two different markets, and
2 you have the fuel component, if it's gas, is the Henry Hub with
3 some basis. So not to get into the details, that you actually
4 have two different markets you play with, you have a Henry Hub
5 market plus your basis market to get your physical locational
6 specific price. That's a whole 'nother commodity you've got to
7 roll up in there, but let's just assume we're looking at fuel,
8 say, at the hub and you've got a generator sitting there for
9 the power side.

10 The heat rate, we basically look at, and then I'll go
11 back to talk about one of the graphs I had earlier. The heat
12 rate, basically, is the efficiency of the plant which indicates
13 if you're going to run for -- yes.

14 AUDIENCE: Could we go back one step if we could.
15 The gentleman over there made a comment there was actually two
16 separate transactions. But if you're actually long fuel, let's
17 say a particular costless collar that you were looking at,
18 you're actually getting three transactions; you're dealing with
19 the transaction for the commodity itself, together with the
20 financial instruments that are being laid in on top of it; is
21 that not correct?

22 MR. LAWRENCE: Yes. What the costless collar does is
23 basically locks in the price band that you're going to buy at.

24 AUDIENCE: And that's true for the slides that you
25 showed on putting a hedge on, come up with the price of \$5.11,

1 you're actually involved in the commodity acquisition as well
2 as the financial instruments and taken together to produce the
3 \$5.11.

4 MR. LAWRENCE: That's a good point. You can blend
5 the exchange for physical. You can take a financial product
6 and convert it to a physical very easily. If you're looking at
7 actual number of transactions executed, yes, you'd actually
8 have three; one, you're buying the physical gas, and then
9 you're financially locking in the range at which you're going
10 to buy at. So, just three physical transactions on paper. A
11 lot of times you can do all that with one counterparty or
12 you've already locked in the gas and all you're doing is
13 flipping out of whatever price scheme you have and locking in a
14 collar.

15 This is an example of the heat rate. I think, we all
16 pretty much know this one, I believe, on the front end. The
17 example here is gas at 481.5. 10 heat rate gives you \$48.15
18 power. Same thing on the generation margin. You take that
19 48.15. If the price is trading at 53 bucks, you have x dollars
20 in profits you make for that one megawatt, you generate \$4.85.
21 Then, you end up having the spread between the two.

22 Now, I went through that pretty quickly on the heat
23 rate and the sparks rate, because it's pretty simple math.
24 You've got the math to go from your gas price to get to a power
25 price. You know what the power market is, you've got some

1 margin in between.

2 If I'm sitting here today trying to dispatch, say,
3 this hour and I'm trying to dispatch from 3:00 -- from 3:00 to
4 4:00, 4:00 to 5:00, I pretty much know if I'm on how many
5 megawatts I'm going to burn and how much gas I need. If I'm
6 doing a budget and I'm planning for next summer, how many hours
7 do you think any given asset's going to run?

8 I mean, I have mathematical equations, I've got
9 simulation models, I don't care how you slice and dice it, you
10 come up with some adjusted amount of megawatts you think you're
11 going to generate. That's where the difficulty and the fun
12 begins, because when you're sitting here today right now for
13 the next hour, it's pretty plain Jane, it's an 01 type trade;
14 in the money I'm going to get dispatched or I'm not.

15 If I'm sitting here looking out -- and this was done
16 about six months ago, but the general concept holds -- if I'm
17 looking at May, June, July, August and Sep. of '01 and '02,
18 that graph indicates I've got 100 megawatt capacity generating
19 assets sitting there. So, at any given point and time I could
20 ramp the thing up, contrary to what a lot of people thought we
21 could do, gas-fired, state-of-the-art, as we can build them
22 now, we run them up, within five minutes, boom, you're full
23 board.

24 If I want to hedge my physical exposure on power, I
25 am long 100 megawatts of capacity. If I would generate,

1 theoretically, given the gas or the fuel, my variable O&M, my
2 emissions, and everything else, at 50 bucks and the market's at
3 \$100, what size block am I going to sell on the forward market?
4 Am I going to sell 100 megawatt block to lock in all the 100%
5 of the capacity of that asset? Now, there is no right or wrong
6 answer to that. We have the view of the world, and that's what
7 I'm explaining here. And I can argue three to four different
8 views, if I need to.

9 The point being, if you oversell the amount of power
10 you think you're actually going to need for that specific
11 asset, you have overhedged, and now you have not just a hedge,
12 you have plus a spec trade on.

13 Conversely, on the gas side, it's the exact same
14 thing. You have less than 100% of the time that assets are
15 going to be in the money. I don't care if it's 50 bucks in the
16 money today. What are the chances you're going to run every
17 on-peak hour when that May contract comes up to play or July
18 contract? Slim to none. You might run full board for three
19 days, and then shut down the rest of the month. That's kind of
20 the way things work, that's the way they've always worked,
21 that's the way they're going to continue to work, because
22 demand/supply fundamentals don't change that much, just the
23 pricing scheme.

24 That would indicate that if I thought I was going to
25 burn all 16 hours, all on-peak days, all on-peak hours for

1 June, for example, I might have to go out and buy 39 -- 35
2 contracts that should be on-peak block instead of megawatts, it
3 should be contracts at the hub. But I'd have go out and buy 35
4 contracts of natural gas.

5 However, once we look at what is the probability of
6 the number of hours or days it's expected to run, you've got a
7 significantly different picture. Again, because you're not
8 looking at just the gas 01 on/off, it's an option. And by
9 default, you have a probability or some statistical
10 significance of how often you think that thing's going to run.
11 It's not going to run every day, just because it's in the money
12 today.

13 Does that make sense? That's where the difficulty of
14 the hedging program comes into play. It makes very common
15 sense for me to go out and hedge my exposure from a physical
16 commodities side. I'm going to forward sell power and I'm
17 going to buy gas, and I've locked in the spread that exists.
18 I've done that from the physical commodity perspective as well
19 as locking in some market value, and I'm theoretically hedged
20 on that asset. You throw in the problem of well, now I've got
21 a revenue and I'm actually selling at a fixed price, with a sum
22 certain band, but I've got a volumetric risk, that's where the
23 weather derivatives come into play.

24 Now, just because we've got a sexy and exotic and
25 fantastic hedging program for Company A, the other company may

1 not hedge a thing and may make more money than you. That
2 doesn't mean your hedging program was wrong, because the next
3 year they may not make any money at all. They've got very
4 volatile earnings. So, it goes back again to the definition of
5 hedging.

6 If I had locked in on that previous gas line at the
7 first of the meeting, if I locked in at that blue line and I
8 was paying and the price dropped to \$1.70, I'd look like an
9 idiot, compared to the rest of my counterparties out there who
10 didn't do anything, they're just floating in the breeze and
11 they're paying \$1.70, and I locked in three bucks. I'm at a
12 disadvantage competitively. Again, does that mean it was a bad
13 hedge? Not if you go back to why you executed the hedge in the
14 first place.

15 That's it. Pretty simple some days. Is there any
16 questions? I went through a lot of that pretty quickly, and I
17 didn't notice anybody fall off and nod off too quick so...

18 MS. BANKS: In hedging, aren't you basically having
19 to determine what kind of price you will accept as reasonable
20 in order to get to the point where you're going to --

21 MR. LAWRENCE: I mean, yes. Right now -- and I'll
22 put it in something some people may be looking at -- if you're
23 looking at refinancing your house, what's a good rate for a
24 30-year conventional loan right now? Anybody have an idea what
25 they'd lock at?

1 AUDIENCE: 6 1/2.

2 MR. LAWRENCE: 6 1/2? Why not 6? Why not 5 3/4? I
3 mean, Greenspan's going to lower the rate again. So yes, going
4 back to your question, you have to decide as a company, as an
5 individual, as an entity, what am I hedging and what price
6 level do I like? It may end up meaning you may lock in three
7 or four different price levels and you have a weighted average
8 of your hedge. You don't just lock and load and execute all
9 100 contracts for one given month just because you got lifted.
10 You have to lock into and properly define what you're doing.
11 And each individual, each company, has a different idea of what
12 that right price is. And no, we're not always right.

13 CHAIRMAN JACOBS: But it would -- the alternative on
14 the other end is totally going with spot.

15 MR. LAWRENCE: Exactly. And that is, by definition,
16 a decision not to hedge is a hedging decision. If I decide I'm
17 going to do nothing, I'm going to float and buy daily, buy
18 hourly, that is a risk management decision whether you want to
19 agree to it or not. You decided, you fell through the risk,
20 you said, "Hey, I'm going to go and float." What is your
21 incentive to hedge right now? I may not have any incentive.
22 If I put on a good hedge and I locked in three bucks and it
23 saved me from buying at seven bucks, I theoretically made four
24 bucks on my gas calls. So what? Where does that go right now?

25 What's the incentive for a shareholder of a given

1 utility to keep that money as part of my stock price? Right
2 now it goes back to the rate base, et cetera, et cetera.
3 Reliant right now is trying to pass through a fuel increase,
4 because they're paying more than they thought they budgeted,
5 and so now we're going to have to pay more for power because of
6 their fuel adjustment clause. That's pretty standard. So, it
7 depends on why you get into the hedge and what the incentives
8 are, but going into the dailies, by definition, is a decision
9 to do nothing, so it is a risk management policy.

10 COMMISSIONER JABER: Something I haven't heard you
11 talk about is how companies hedge for business and asset risk,
12 in particular regulatory.

13 MR. LAWRENCE: When you figure that one out, give me
14 a holler. There is no hedge against regulatory or legal risk
15 that I know of. I mean, California's a prime example; not to
16 hit California again, I won't say anything on record that will
17 get me in trouble, Barry, don't worry.

18 But at the end of the day, it goes back to locational
19 marginal pricing is a concept. PJM uses it, up in the
20 northeast they use it. I do a deal today that I think looks
21 good, and then tomorrow they're going to tell me whether I made
22 money or not. That's not an open competitive market. If I go
23 to buy a car, I know what price I'm paying today, I know what
24 I'm going to borrow, I know what I'm paying down cash. I don't
25 come back a week later and the dealer says, "Oh, by the way,

1 you're 5,000 under, you owe me another 5." So, the legal and
2 regulatory "S" effect, there's not much you can do to hedge
3 that.

4 MR. HUDDLESTON: Actually, though, there are
5 strategies.

6 MR. LAWRENCE: There are strategies, yes.

7 MR. HUDDLESTON: Yeah, I wouldn't call them hedging
8 strategies, but just as an example, not to pick on California,
9 but to pick on Nevada, we entered into asset sale agreements
10 where we were buying assets from Nevada Power, and started the
11 process for regulatory approval and the legislature passed a
12 bill and the governor signed the bill that declared a
13 moratorium on the sale.

14 Well, that's not generally something that you
15 contemplate as you're moving into a purchase, but if you know
16 that that kind of exposure's out there, then clearly you're not
17 going to be willing to pony up as much money up front. You
18 effectively reduce the value of the assets, because you are
19 uncertain of the regulatory climate for the future. So, I
20 think, you end up potentially dimming your outlook compared to
21 areas where they have a more stable regulatory environment.

22 COMMISSIONER JABER: Or where they've clearly
23 deregulated?

24 MR. HUDDLESTON: Well, it isn't so much the
25 deregulation, because you always have the -- assuming that

1 there is FERC oversight, you always have the FERC oversight for
2 the market-based rate authority. And so, it's nothing --
3 nothing in the U.S. is yet deregulated, per se. You still end
4 up filing your wholesale tariffs at the FERC and still end up
5 having to defend your ability to sell at market-based rates.
6 But theoretically speaking, if you have that certainty and then
7 you know that next month something's not going to change and
8 next year something else isn't going to change, then sure, that
9 stability is important for future investment.

10 And if you look at, you know, just the utility
11 industry is a very small part of the U.S. economy, although in
12 California it seems to have taken on a pretty important part,
13 but the investment opportunities are all over the board. And
14 the dollars that you're trying to attract, if for some reason
15 it doesn't look like you have a stable environment, then the
16 dollars don't come into the utility industry, the dollars go
17 into some other industry or some other part of the world or the
18 U.S.

19 MR. ELIAS: With the situation out west and with the
20 price of fuels, in particular, natural gas being so much higher
21 than we've seen in a lot of years, I'm looking for something of
22 a perspective from somebody who's got experience broader than
23 just Florida. Are you aware -- have you seen any particularly
24 innovative programs that address some of these price issues,
25 vis-a-vis customers that have been implemented by state

1 commissions or have been proposed anyplace around the country,
2 something that we could look to as maybe an idea that's worthy
3 of further study?

4 MR. LAWRENCE: Not really. There's some bilateral
5 transactions that have been done. For example, us with other
6 counterparties helping to manage their fuel exposure, but from
7 actual commissions, utility, whether it's been state or
8 federal, I haven't seen anything out there yet, no. And the
9 problem being for the comment earlier, they're floating in the
10 dailies and buying spot, because there's no incentive to do
11 anything else.

12 MR. HUDDLESTON: I think, you do end up sort of
13 focusing more on what not to do as opposed to being able to
14 point to somebody whose done a particularly good job. You
15 know, for example, California you certainly don't want to
16 mandate that everything has to be purchased on the spot market
17 and not let them enter into any long-term arrangements.

18 But I think, a portfolio, and if you go to any of the
19 management literature, the portfolio management, PJM is
20 probably a pretty good example of a market that's been
21 relatively competitive at the wholesale level for many, many
22 years, based upon the pool that's been in existence there for
23 40 plus years.

24 And if you look at that, even before they went to the
25 PJM ISO, that you just look at the utility participating,

1 utilities participating, the 10 owners, you can look and see
2 that they were entering into, even in the pool context,
3 something in the neighborhood of 70% of their transactions were
4 bilateral and long term and self-dispatched.

5 And so, even in a market that was that mature, the
6 utilities were making the decisions based upon how best to
7 manage their portfolios. And, I think, that's basically the
8 bottom line, you don't put all your eggs in any basket.

9 MR. ELIAS: And I'm thinking that there may be a
10 subset of customers out there, commercial and/or industrial,
11 that would be willing to pay a premium for price certainty.

12 MR. HUDDLESTON: Well, that's certainly the case.
13 You look at self-generation options, for example. My former
14 company was a subsidiary of Dow Chemical, and Dow Chemical's
15 been in the self-generation business for over 100 years, and it
16 was primarily the case, Dow wanted to be self-sufficient.

17 And you look at the gulf coast units, for example, of
18 the Dow Chemical plants there, they've got almost 2000
19 megawatts of generating capacity and on a regular basis we're
20 entering into interruptible contracts with the utilities
21 getting low-priced power and then if, for some reason, there
22 was an economic incentive they would essentially self-interrupt
23 and generate inside the fence. And so, they managed their
24 prices by having redundant capacity.

25 MR. LAWRENCE: Yes.

1 AUDIENCE: (Question/Comment).

2 MR. LAWRENCE: In general, you have to follow the
3 chain all the way through as you already threw out there. You
4 have to look at -- ignore the customer base for the moment.
5 And I don't mean that in a bad sense, anybody hollers at me.
6 If I have an asset sitting there, and I want to generate my
7 least cost and I want to sell at the highest revenue, by
8 default you just want to make as much money as you can for the
9 asset.

10 Walking through your risk tolerance as a company,
11 because each company is different, we assume risk all day long,
12 and that's what we enjoy and we do for a living. Others, they
13 look at it and they profit in a hurry. You need to identify
14 how do you define making the most money for that asset, is that
15 buying in the hourly, buying in the daily, buying in the spot
16 or is it saying I'm going to hedge 80% of my expected fuel band
17 and I'm going to buy the rest when the month comes up, when the
18 day comes up? Which is right for you as an individual, which
19 is right for you as a company, which is right for you as a
20 given utility commission or service commission is not --
21 they're all going to be different, they all should be
22 different.

23 It goes back to the example, I can lock in a \$3.00
24 price or I can buy spot and average \$5.00. The \$3.00 price you
25 locked in looks like a good price for the trade, but if that

1 doesn't go through, all the way through the chain down through
2 the customer base and they don't benefit from that, where does
3 the benefit go, where is the incentive?

4 So, you need to make sure everything is tied from
5 trying to minimize your cost or stabilize your cost, maximize
6 the revenues from the company, but you also have to take into
7 account the ratepayers have to get what they think is a good
8 price for a minimal rate, and there's no easy answer for that.

9 AUDIENCE: As a follow-up, it seems that if you do
10 incur regulated companies to hedge that there has to be some in
11 the sense that some of the fuel will be above what those spot
12 prices would have been below.

13 MR. LAWRENCE: Exactly. It would look like a bad
14 trade. I mean, you can't have your cake and eat it, too.
15 We've been dealing with this for years. We've got
16 counterparties coming to us and saying I want to pay no more
17 than x on my fuel and I want to guarantee a fixed price for my
18 customers. Oh, and by the way, if the market goes south and
19 there's some benefit there, I want to share in that also. So,
20 we take all the risk and we make no money. That is not how,
21 you know, the United States market works, that I'm aware of,
22 except -- well, never mind, I won't say that, Barry. So, you
23 have to take that into account. And again, the idea to hedge,
24 if you're trying to decrease the volatility of the rate the
25 customer's paying, decrease the volatility associated with the

1 cash from your earnings as a company, that's a reason, then, to
2 hedge. Yes, you might be paying above spot price for fuel, you
3 might be selling below spot price for power, that doesn't mean
4 it was a bad hedge. But if the next five years the customer
5 has locked in a certain rate, they'll know what it is.

6 AUDIENCE: (Comment.)

7 MR. LAWRENCE: That was on the list I submitted
8 earlier. I don't have a per trade fee. The reason being we do
9 so many trades, after January they work for free for us,
10 because we max out the amount of rates we pay them. I know
11 Nymex there's pretty much a defined fee, like, a 1/2 penny,
12 give or take, don't quote me on that, but it's a very minimal
13 transaction, especially if you're only going to execute --
14 you're not churning and burning all day long or all week long.
15 If you're going to decide what the hedge is, and you can get it
16 done and trade very few throughout the year, transaction costs
17 are very minimal.

18 The biggest cost is how you're going to manage the
19 hedge, who's going to look at it to make sure it was a good
20 hedge and the proper hedge and it's not doing Monday morning
21 quarterback; hey, this hedge is the most worthless strategy we
22 executed. That's not the intent. The intent is to look at
23 what didn't work, what were the assumptions we had, why were
24 they necessarily not correct and modify that going forward.

25 And to roll out of the hedge and re-execute a

1 different hedge is not necessarily a spec trade. It's just
2 getting a better view of the world and a better definition of
3 what your strategy is.

4 AUDIENCE: In the long term, generally speaking, an
5 electric utility hedging on a fuel, is the goal more to reduce
6 price volatility or reduce fuel costs in the long run?

7 MR. LAWRENCE: If you're executing a hedge to reduce
8 fuel costs, again, that's probably the wrong reason to enter
9 the hedge.

10 AUDIENCE: It's to reduce price volatility.

11 MR. LAWRENCE: It should be to reduce price
12 volatility, and by default, reduces -- if I have an idea what
13 my generation cost is going to be, now I'm only worrying about
14 one market at the moment, a power market. If I had locked in a
15 range in my power market, now I kind of have an idea of the
16 band that my revenue's going to be, given some volumetric take
17 of the customers. So again, if you execute the hedge to
18 minimize your cost, that's the wrong reason to execute a hedge.
19 That's a spec trade, in my mind. Now, you can get three Phds
20 and argue differently, but in simple terms the hedge is to
21 reduce volatility whether it be price or earnings.

22 AUDIENCE: I guess, the basic question about
23 launching off of that is that if there's zero hedging going on,
24 and as you say, that's a decision about how you're going to
25 manage the risk, say you're not going to have any hedge

1 whatsoever --

2 MR. LAWRENCE: Right.

3 AUDIENCE: -- how do you use an incentive for the
4 utility when you may or may not fully recover what's being
5 handled via ratepayers for all related costs, how do you reduce
6 utility or do you reduce the program for utilities to start to
7 engage in the corporate level, how do you determine what that
8 corporate level is?

9 MR. LAWRENCE: That's kind of what I was going to ask
10 you, but that's all right. I'm Joe Blow, the consumer. My
11 rate's from Reliant jacked around quite a bit the last couple,
12 three years, because of gas, because of power, all those;
13 Ercot, as you saw, was pretty healthy reserve margin-wise, the
14 fuel cost is a lot higher than they were forecasted to be,
15 because it was roughly at the hub of what it traded four or
16 five bucks for.

17 If I have a customer or another counterparty utility
18 and they call it Huddleston Marketing arm, comes in and
19 guarantees for five years my rate can be within a certain
20 range. I can go back and say, historically, I took so many
21 kilowatt hours and megawatts, however big your house is or
22 business is, for that time frame, I can back into what my cost
23 is going to be in any given year.

24 That's price certainty for me. How close do I want
25 that band to be? Do I want a fixed price guarantee and he

1 offers it to me? I'm done. I'll do it for you. Each of the
2 individual customers in your rate base have a different view,
3 what they're willing to pay for that price certainty.

4 Some may not care, some may say I want 65 cents or
5 whatever the number is, and I want it for the next 10 years, I
6 don't care what happens to commodities. There's going to be
7 somebody who will step up and give him that for the right
8 premium.

9 So, the incentives -- I'm not about to step up and
10 try to discuss what might be the right incentives, because
11 you've got to look at the customer base as a regulatory
12 environment and how do you define the incentives?

13 AUDIENCE: Having received a share of gains and
14 losses --

15 MR. LAWRENCE: In the utilities side? I, personally
16 have not, no, I don't know, Barry, if you've seen any. Most of
17 what I've seen has been in the bilateral markets outside of
18 that.

19 MR. HUDDLESTON: I think, that's right. I mean, in
20 most of the territories that I've seen, there still isn't a
21 very good recognition that there's a benefit potentially to
22 hedging. You end up -- I mean, California is clearly the most
23 current example. You end up with arguments that lead up to the
24 case where you had the fixed price, fixed retail price, and so
25 a fixed revenue recovery and no ability to hedge against the

1 volatility in the spot price, and that ultimately led to PG&E's
2 bankruptcy.

3 Well, you know, the arguments that led up to those
4 decisions were clearly intelligent and, you know, they had --
5 I'm not sure, probably three years worth of hearings where
6 everybody came in and made their points, and you end up on the
7 consumer side; for example, saying, well, just as Douglas
8 described, I not only want a fixed price, but I also want my
9 rates to go down when things good happen, and I don't want them
10 to go up when things bad happen. And that isn't an approach
11 that is going to lead to the long-term financial health, but on
12 the other hand, that's the decision that most of the regions
13 have made so far.

14 MR. LAWRENCE: And to counter that in Nymex, when
15 you're talking not equities, but you're talking futures
16 contract for, say, in May, trade in June, it's a zero sum game.
17 For every penny or dollar that is made, somebody is on the
18 other side of that trade losing money and they settle out at
19 reserve at the end when the contract expires. That's a purely
20 open market, zero sum. Whatever is made is lost by somebody
21 else. It's not I continue to make and when I go to lose money,
22 whatever they cap me at I'm done. Nymex doesn't have a bond
23 group that steps in and floats you a loan at zero interest
24 rate, so...

25 MS. BANKS: I think, some of the difficulties from a

1 regulatory perspective has been did the price that the utility
2 decided to lock in on, you know, in hindsight you can say, oh
3 yeah, that looked great or yeah, that didn't look great.

4 So, it may have been reasonable at the time that
5 \$3.00 seemed great and the market went to \$5.50, oh, you did a
6 great job, but how does the regulator determine that if they
7 locked in at \$3.00 and it went into \$1.64, how we had done or
8 had some experience in the gas markets before, how do they
9 reconcile that?

10 Because from the customer's perspective, when he gets
11 his bill and he knows that out in the marketplace the gas was
12 going for \$1.64, he's wondering why he's paying \$3.00 for.
13 Those are some of the -- I see the difficulties from a
14 regulatory perspective that sometimes would be very difficult
15 to explain to a customer, "Well, maybe next month it'll be
16 better."

17 MR. LAWRENCE: And it goes back to Barry's comment.
18 The previous example, they'd be benefited by having a fixed
19 rate that didn't go up, because they locked in the price, but
20 then they're also going to complain, because they couldn't
21 benefit when the prices went south. No open market, that I'm
22 aware of, works and I don't find that as an efficient market,
23 in my mind. They have to understand if you want price
24 certainty and rate certainty, you may be buying or having a
25 rate above spot prices. By default it's going to happen.

1 MS. BANKS: And so, from a perspective, is it, you
2 know, we would be looking at well, if they would have locked
3 into a long-term, five-year fixed contract with the producer at
4 one level, I mean, that's -- to me, you're making a decision
5 that's what you're going to do --

6 MR. LAWRENCE: Exactly.

7 MS. BANKS: -- as opposed to buying any other form of
8 hedging.

9 MR. LAWRENCE: That's what we've run into, and I've
10 had a lot of counterparties over the years come to us and say,
11 "Hey, I want a guaranteed price that gives me 20% savings over
12 what I'm currently paying," that's fine. If we look at all
13 your customer base, I don't care if you're gas, power,
14 combination thereof and we cut them a deal for 20% savings.
15 And then they come back and say, "Oh, and by the way, if it
16 looks like you're making too much money because the price is
17 really cratering and the market is backwardated, I want some of
18 that back," no; we're taking the price risk, not you.

19 I'm talking to counterparty, not ya'll out here.
20 Don't be looking at me funny and jumping over the table. The
21 idea being a hedge, you have to decide before you execute the
22 hedge why do you do it, and what is the benchmark to determine
23 if we made sense? If the benchmark is cost, am I at above or
24 below or at spot prices? Then, you time back into a cost
25 perspective, was it a good trade or bad trade? And that, by

1 default, is not a hedge, that's a spec trade. So, it's
2 education on why did you enter the transaction in the first
3 place? And you are right. Customers -- personally, everything
4 that I talked about today when Reliant gets in front of me and
5 says that they locked in gas, and it cost me money, no. You
6 know, the price of the hub is \$1.50, I want my \$1.50 price.
7 I'm not paying you three bucks because you locked it in.
8 That's just the customer mentality, so...

9 MR. HUDDLESTON: It's important, too, Cheryl,
10 regulators have been doing that very thing for years, for
11 example. In any period, when you determine that you're going
12 to site a power plant, you've locked in the fundamentals
13 associated with the technology for the next 30, 40 years, and
14 so you've made that long-term commitment. Then, to go in and
15 second-guess the fuel decision seems to me to be a little
16 counterintuitive.

17 Once you've made a decision based upon full
18 information, then you just go for it. It's -- you know, sure,
19 maybe I bought a car a couple of years ago and a month after I
20 bought it the dealership had a huge sale and, boy, I'm kicking
21 myself because I bought, you know, I paid too much. But on the
22 other hand when you made the decision, it was the right
23 decision.

24 MS. BANKS: And from a regulatory perspective, it's
25 very difficult to determine was that really the right decision?

1 I mean, you have to pick that price that you really -- that
2 you're willing to walk into. This is where, I think, would be
3 a reasonable price to pay. And our job is to say, well, was
4 that really a reasonable price that you locked into? And I
5 guess, it's just a series of questions of what were your
6 assumptions behind why you picked \$4.22, you know? I guess, it
7 just comes down to a basic of a lot of questions of support for
8 why you picked that rather than something else.

9 MR. HUDDLESTON: Well, I think, nowadays anyway, most
10 of the markets are becoming visible enough and competitive
11 enough that there should be sufficient information; for
12 example, in this proceeding in Nevada that I've been in over
13 the last couple of months, you can go in -- well, we had signed
14 a two-year power purchase agreement for the transition between
15 the time we bought the plants and would then be freed up from
16 the selling to directly back to the utility.

17 And then the price comparison you can go out and you
18 can find in the marketplace the long-term sale arrangements
19 that others are willing to make for that full period and do an
20 economic evaluation of the contract. And with fuel today being
21 as liquid as it is, there's enough information, I would think,
22 that you could do a pretty full evaluation at anytime you get
23 the filings.

24 MR. LAWRENCE: What I hear you keep coming back to is
25 you're forecaster of the world. I can't tell you what gas is

1 going to be for July, as much as we play in market, there's no
2 idea. We have a range from anywhere from \$3.70 up to 5 bucks,
3 or whatever you wanted to lock it. So, when you look at --
4 when you decide to execute the trade, it's a very liquid
5 market, and I know what the marks are going to be; there's a
6 basis market and location, you deliver the gas price, you know
7 what the power price is going to be, but do you know where it's
8 going to be 12 months from now? Is that a good or a bad trade?
9 And you start to second-guess from what was realized in the
10 stock price versus what you locked in, then you're questioning
11 the forecast of why did you hedge? So, I mean, there's not an
12 easy answer.

13 Yes?

14 AUDIENCE: (Question.)

15 MR. LAWRENCE: Well, let me explain the graph a
16 little bit more. There's another slide I didn't actually have
17 in here, and there's a movie I can show what does the prompt
18 contract for prompt 12. There was a snapshot in March of 2000,
19 looking at April of 2000 for the next 12 months out, and that
20 was a snapshot close of business for whatever the date in March
21 was, compared to what was the average cash price or spot price
22 realized for April, May, June, July, August, Sep., through the
23 next 12 months. So, it wasn't showing what do the futures
24 contracts do over time, that was just straight.

25 And then, it showed what are the actual cash prices,

1 if you had to go buy on the spot, that was the difference on
2 that slide. But if you look at contracts, we've had some
3 contracts go up near ten bucks, and then go back down and, I
4 don't know, could be anywhere from 4.20 to 4.30. Last summer
5 we were averaging, I think, the prompt 12 contracts out were in
6 the 3.25 range. That was at the hub. Each location in the
7 west was already having issues, not as big as they are now.
8 They were already showing up at issues.

9 AUDIENCE: (Comment.)

10 MR. LAWRENCE: Well, again look back at the last
11 three winters, in '97, '98, and '99, you had around \$1.70, so
12 you had abnormally warm winters across the country, masked the
13 actual demand growth, and then we had an average winter,
14 theoretically, a little bit harsher, a little bit colder than
15 average but right around an average winter from '00 going into
16 '01; well, low and behold, the demand actually raised quickly,
17 and then the prices took well to catch up.

18 So, if you're sitting here in '00, is 3 1/4 actually
19 high or is it actually low? Yeah, everybody's talking about
20 all this new generation coming on-line, but the last three
21 winters have been \$1.70 going off the board at the hub. Why am
22 I going to pay double that today? And a lot of people didn't.

23 AUDIENCE: (Comment.)

24 MR. LAWRENCE: I can't tell you what the current
25 contracts go off the board at, and that's just 10 days away, 15

1 days out at the most. We have our hands on a lot of different
2 pieces of the pie, knowing what the storage is doing -- we have
3 our own storage model. And still, I mean, the price could jack
4 20, 30 cents a day for no reason, whatsoever.

5 AUDIENCE: (Comment.)

6 MR. LAWRENCE: The reason I showed Yahoo, let me run
7 that one, and then a simple stock trading strategy. I could
8 have bought in at Yahoo at 20. And I never bought into Yahoo,
9 and I'm not going from experience, just a hypothetical example
10 before you start snickering over there. You could have bought
11 Yahoo at 20 and it ran up to 100. You get out, should you have
12 gotten out at 25 or do you buy more? So the price is really
13 running up. Hell, this thing's going to the moon, I'm buying
14 and buying and buying; low and behold, three weeks later, it's
15 back down below 20. I mean, in essence, that's how quickly --
16 it was a little bit longer than that. When it started going,
17 it started going south. You've got the mentality of getting
18 whipsawed.

19 The market's coming to me. Well, that may be true.
20 You may be bankrupt before it gets back to where you started
21 from, but the market's always right, whether you believe it or
22 not. And so, yeah, you have an issue of you've got the
23 mentality, jeez, I just got my head handed to me, I'd better
24 lock something in today. Are you locking it in because you're
25 afraid the price is going to run up farther? If so, that's a

1 spec trade. Or are you going to lock it in because you don't
2 want to necessarily worry about price volatility anymore; you
3 just want to get out of the market and you're done? And the
4 budget, looking over the next 24 months, while sustained
5 commodity cost about price level.

6 Now, 12 months down the road, you say, jeez, that was
7 a pretty ignorant decision I made, but you've got to remember
8 why you made it the first place, you didn't want to get
9 whipsawed anymore. A lot of times, we have traders who just
10 get out of the market all together for 30 minutes or an hour a
11 day, because they're just on the wrong side of the trade and
12 they get emotionally involved and, again, there's a difference
13 between spec trading and hedging.

14 AUDIENCE: (Comment.)

15 MR. LAWRENCE: That sounds very simple, but how do
16 you pick 20 and 80%? That's where the sophistication comes in.
17 I agree 100% of what you're saying, and that's exactly what I
18 would recommend. You don't do it all and you don't do none for
19 the same reason. If you're wrong, you're dead wrong. And
20 you're getting shellacked and you have a competitive
21 disadvantage. You get out of the utility industry, and I'm an
22 industrial-producing. If 50% of the cost of my product is gas
23 or commodity cost, whether it's gas-power combination and I
24 lock in a price that's 50% higher than my competitors, I'm
25 never going to need a fee, so I'm going bankrupt, and it

1 doesn't take long to do that. That's happened out west all day
2 long.

3 So, but if they only locked in 50%, they're not
4 necessarily disadvantaged anymore. That's where the difficulty
5 comes in. What percent do I want to buy spot? What percent do
6 I want to lock in today? And that decision could change in any
7 given week. I mean, you may look at I did a hedge and all of a
8 sudden it's 50 million in the money. Do I want to monetize
9 part of that while a lot my hedging won't make it again?
10 That's, again, a hedging decision. Now, you're kind of blowing
11 the line between a trading organization.

12 MS. BANKS: When you were talking about that
13 percentage, was it on base load or was it on total
14 requirements?

15 MR. LAWRENCE: In aggregate. Because you get even
16 more complicated, you can lock in the base load pretty easily
17 if you've got a coal unit, you don't know how much coal you're
18 going to burn. Load factor's probably not going to change
19 much, unless you have it forced off-line or you're on an oil
20 strike. A gas turbine that's a combined cycle, 69, 7,200 heat
21 rate, it's going to run, you know when it's going to run, it's
22 going to get there. How do you handle the four or five hours
23 in the day? The peaking units may run 30 hours a year. By
24 default, you're looking at buying the hourly or spot.

25 MR. HUDDLESTON: I think, it's interesting to note in
FLORIDA PUBLIC SERVICE COMMISSION

1 California right now the best long-term contracts they have are
2 the ones with their qualifying facilities. And having gone
3 through all of those value of deferral proceedings here, you
4 know how much flack those kinds of contracts get, and those are
5 the ones that are now most in the money, not that they're being
6 paid anyway, but those are the ones that are best rates,
7 anyway.

8 AUDIENCE: (Question.)

9 MR. HUDDLESTON: Actually, I'm not sure. I know
10 there's been so much going on in California where they're now
11 suing actually to get out of the contracts, because they want
12 to sell at market. They don't want to be restricted to taking
13 the contract price. And theoretically speaking, since most of
14 them haven't been paid since last fall, there probably is a
15 breach of contract. And so, a lot of that stuff's going to be
16 litigated out, but...

17 MS. BANKS: If a utility was going to start
18 implementing a very basic hedging program and begin to, be it,
19 at 25% or 50% or whatever, how would you recommend this utility
20 go about it? I mean, there's various ways, as far as hiring
21 personnel off the street to be able to do this or contracting
22 it out with services from another entity.

23 MR. LAWRENCE: It depends on what the utility wants
24 to -- I would first comment, I won't say anything about Dynegy,
25 because that's an open floor for that comment. When you enter

1 into a hedge, it's like you're entering into a stock trade. If
2 you don't watch that stock, you can be bankrupt and lose the
3 whole portfolio, if you don't manage it.

4 So, no matter what you decide to do, if you staff up
5 the trading floor or you staff up the risk management arm, by
6 default you need to have some minimal competency in-house to
7 know that what is going on from a hedge perspective, what
8 you're paying for, whether you contract it out to us, Enron,
9 PG&E, Duke -- sorry, PG&E won't do much of that anymore -- some
10 counterparty out there or some unknown entity, or you do it
11 yourself, you still need the same core competency.

12 How do you truly define the hedging strategy you're
13 going to implement? How do you educate management and the
14 board? And then how do you manage that from a portfolio risk
15 perspective? Because you have to roll it all up underneath
16 your enterprise risk and see what falls out. I would say each
17 utility, I mean, they each have their own business vision, each
18 have their own strategy and how they want to approach the
19 markets, and there's not one cookie-cutter answer that handles
20 all of that.

21 MR. HUDDLESTON: From a personnel perspective,
22 though, I'll share with you what a friend of mine told me, that
23 there's really only a thousand marketers out there. They just
24 change jobs so quickly, everybody thinks there's a million.
25 And so, there's a lot of -- especially within Houston where you

1 end up with a half a dozen companies all within about four
2 blocks and they just sort of rotate between them.

3 AUDIENCE: (Comment.)

4 MR. LAWRENCE: That's what it boils down to. Then,
5 you get into the issues if they make a lot of money from the
6 windfall trade they put on as a hedge, where does the money go?
7 What's the incentive for them to actually get that
8 sophisticated? I mean, it can be done, and there are some
9 utilities trying to do that now with their current rate
10 structures that are out there and the markets that are
11 deregulating up in the midwest.

12 AUDIENCE: Speaking in terms of forward contract,
13 what's wrong with the strategy if the forward contract, indeed,
14 pennies on the dollar to have somewhat like that collar that
15 you showed, one where the price goes up, the price goes down,
16 you can always win the larger amount by exercising the contract
17 that's in the money and just foregoing the pennies on the
18 dollar for one that's not in the money?

19 MR. LAWRENCE: Well, the costless collar again, all
20 it does instead of you getting long and short at a fixed price,
21 you have a range. You have the same issue, what if that range
22 is three or four bucks out of market, either above or below,
23 you have a similar concept to deal with, because the collar --

24 AUDIENCE: I'm thinking in terms of a rather wide
25 range.

1 MR. LAWRENCE: Well, then, yeah. I mean, a buck 50
2 versus six bucks. I mean, if it's that wide, that's pretty
3 much where your spot price is probably going to be over the
4 next, you know, 12, 24 months. But if you get the range wide
5 enough, it starts to debate the issue why am I going to enter
6 the hedge in the first place?

7 AUDIENCE: Again, it's pennies on the dollar. It
8 seems like you couldn't reduce, unless it goes totally wild.

9 MR. LAWRENCE: You can lock it in, yes, you can lock
10 in a wide range, but then the question is why do you want to do
11 that in the first place? It's only pennies on the dollar, but
12 it's still money you're spending. I mean, you can lock in a
13 wide enough range, but it doesn't give you much benefit, it
14 doesn't reduce the price volatility, it doesn't reduce the
15 earnings volatility. If the range is so wide, you're not
16 locking in anything. And you can get something that's so far
17 out of market in a wide enough range that you'd hardly pay any
18 premium on either side for it.

19 AUDIENCE: Does the premium increase?

20 MR. LAWRENCE: The premium for an option is defined,
21 it's a function of the underlying price, your strike price,
22 timed expiration, and expected movement of that underlying
23 commodity. So, if it's at the money, it has no in-the-money
24 value; in other words, it's not where I can exercise, because
25 I'm not making money, but it still has a premium attached to

1 it. It still has that theoretical value based on time and
2 expected price movement.

3 The farther you get out of the money; i.e., if it's
4 trading at five bucks and I'm going to buy the right to sell it
5 to you at a buck, because you think it's going below a dollar,
6 that has very little premium attached to it. If you do the
7 same thing on the other side and go to nine bucks, I have the
8 right to sell it to you at nine at my discretion, that has four
9 dollars value. I mean, go down the path and the premiums
10 change. And you've got a call on the put, so it's kind of the
11 reverse signs of --

12 MR. HUDDLESTON: And Douglas, wouldn't it be the case
13 if you had the very wide range, then effectively you've paid
14 for the ability to have that very wide range and yet you're
15 still exposed to all of the volatility and the spot prices in
16 between, because you wouldn't exercise on either side. And so,
17 you haven't really gained yourself anything.

18 MR. LAWRENCE: No. I mean, it's like you said,
19 minimal cost to do that, but you're not flatlining your cash
20 flow, your price risk or anything else that you initially plan
21 on doing.

22 AUDIENCE: On volume volatility to the natural gas --

23 MR. LAWRENCE: Volume volatility, what do you mean by
24 that, just to make sure I understand?

25 AUDIENCE: Well, that's a term I've heard frequently

1 and it's separated from price. So, I would always -- it's hard
2 for me to imagine volume and price being separated, like the
3 price of --

4 MR. LAWRENCE: Not knowing where that's coming from,
5 I'll answer in two ways. If you're talking about a volumetric
6 volatility and you're looking at pure technical trading,
7 there's a lot of programs out there, some are precanned in
8 textbooks, some are published on Wall Street and all that, that
9 says when volume increases by X amount or decreases by X
10 amount, it's a good time to buy or sell, depending on where
11 that price range sits based on historic moving type average, et
12 cetera.

13 So, you look at the volumetric, and if the volume,
14 all of a sudden, exponentially increases, there's a lot of
15 people out there buying and/or selling; look at what the price
16 is doing, and there's trading, technical trading tools, that
17 will tell you, you should be buying or selling into that
18 market. So, when I think of volumetric or volume volatility
19 for natural gas, that's kind of what I think of.

20 AUDIENCE: So you're still churning it with --

21 MR. LAWRENCE: The churning, the number of trades
22 being done, the number of participants out there. Now, the
23 volumetric risk that you experience as a utility would be
24 weather-related, not price-related, so you separate those two.
25 It's an abnormally cool summer, like it was in Chicago, where

1 the high hit 70 something at best, the prices didn't get much
2 above 65, 70 bucks in the summer at all, because the demand
3 wasn't there, and it was a fairly healthy transmission grid.
4 Conversely, the previous summers, extremely hot across the
5 board, a lot of units fell off-line, and just because there's
6 demand, the power still couldn't get there, but it was a
7 volumetric exposure, not necessarily price. And the price was
8 a result of that --

9 AUDIENCE: (Comment.)

10 MR. LAWRENCE: To a degree, yes.

11 AUDIENCE: Because, I think, of it more as
12 volume-forward contracts where the utility has a right to buy
13 at an unspecified price some specific volume at a later date.
14 What is that?

15 MR. LAWRENCE: That would be -- that's the volumetric
16 risk we're talking about. Not the volumetric on the volume of
17 trades, but the end use customer burn, because you're buying
18 unlimited swing rights based on what the weather temperature
19 patterns are. It's not price-specific, and it's just strictly
20 whatever my customers take, you have to fill that obligation,
21 I'm taking load forecasting risk, and I have to decide what is
22 the weather going to be and how do I hedge that? That's the
23 reason weather derivatives exist out there now.

24 AUDIENCE: Is there still price attached to my
25 obligation beyond that?

1 MR. LAWRENCE: Is there a premium above and beyond
2 some basic fixed block? Yes, because I'm not just selling you
3 10,000 a day, I'm selling you 10,000 a day that could go to
4 five and it could go up to 25, so you're buying some embedded
5 swing rights, as they call them. Same thing on power. It just
6 gives you the ability as the end use customer to turn down the
7 amount of volume taken or turn up the amount of volume taken.

8 AUDIENCE: So, it's associated with minimum
9 matching --

10 MR. LAWRENCE: Type scenarios. But, you know, the
11 customers -- it's all basically weather-dependent, because I
12 don't get any pricing signals on whether I'm going to turn my
13 AC unit on or off. 35 bucks a summer doesn't do it for me,
14 so... 35 bucks a minute might, but...

15 Yes?

16 AUDIENCE: What do you look for in terms of adversity
17 or price risk?

18 MR. LAWRENCE: We love trading plutonium. We started
19 up a -- just kidding. Some utilities actually are in fairly
20 good shape and some are fairly in a risky position. Being long
21 90% coal seems like a good opportunity. What happens when one
22 or two of your coal units fall off-line? I mean, you're at the
23 wind of the market, whatever it is. Now, you can hedge that
24 with insurance products, et cetera. But a nice mix of base
25 load and intermediate, I mean, the standard utility profile is

1 nice to have. If the base load is made up of coal and/or
2 supplemental with high-efficient gas units, it's kind of a moot
3 point. The coal market has been a lot more volatile in the
4 last 12 months or last six months, as well as the emissions
5 associated with it, but the absolute delivered price on the BTU
6 equivalent is still significantly below gas.

7 MR. HUDDLESTON: And you need to look at the
8 customer's side, too, and look at the types of customers that
9 you have. If you've got a very high load factor industrial
10 base, for example, like in the midwest, that would be a whole
11 different mix than a high-peaking residential kind of load.
12 And so, there really isn't a perfect division, but I think if
13 you look at the resource planning process over the years, then
14 utilities have kind of fit in the categories, and it's a
15 portfolio management based upon, unfortunately in some
16 respects, regulatory response, but primarily responding to the
17 kind of customers that you have and the load factor.

18 AUDIENCE: (Comment.) How would a firm hedge, say,
19 electricity contracts in the market?

20 MR. LAWRENCE: Very difficult when you can only hedge
21 half the equation. I mean, $A^2 + B^2 = C^2$
22 squared all the time. But if you can only hedge one piece of A
23 and B is going to be flopping around and you locked in at C,
24 that equation kind of falls apart, so we find ourselves at
25 risk. I mean, some regions, like you indicated, are a little

1 bit more liquid. They have a little bit more diversity, as far
2 as the products you can buy and sell. But when it comes down
3 to it, if I wanted to lock and load 2 or 3,000 megawatt blocks
4 for next summer, the market would disappear in a hurry,
5 probably wouldn't have any bid offers out there, so liquidity
6 in the depth is still questionable, to some degree.

7 AUDIENCE: (Question.)

8 MR. LAWRENCE: Well-stated. We have trouble beating
9 natural gas and power markets or coal markets. And if we think
10 we can spec trade mother nature, I don't know of any company
11 that's going to do it on a regular basis. A lot of the market
12 makers that are doing that are not doing it -- some are, but
13 most of them are not doing it just from a pure speculative
14 trade.

15 You know, you've got a bunch of traders that got
16 together and had a few martinis one night and said, "Jeez,
17 let's go out and start trading this product and see what
18 happens." There is a customer base, the volumetric risk you're
19 all aware of is needed, not just in the utility industry, but
20 you hear people talking about wet bikes, you hear them talking
21 about snow shops, Enron, Coke, we've even gotten heavily
22 involved in pursuing customers after small volume. But by
23 default, we're at risk with Illinova's acquisition, we have
24 4,000 megawatt peak. That may or may not get there, which
25 defines how much we can do from a forward perspective on

1 getting in and out of monthly contracts. So, the weather
2 derivatives, if you're getting into it and trying to spec them,
3 the reason being they have a high tolerance for risk, and they
4 enjoy that activity. We enter into them mainly just because we
5 enjoy it from a hedging perspective.

6 Now, we will step out on occasion and take a position
7 with the thought of rolling it, you know, laying it off on
8 somebody else, because it matches the profile we think they
9 have and we may get hung out if that party doesn't actually
10 show up in the market. That's usually taken into account when
11 we execute in the trade in the first place. I mean, the
12 forward curb doesn't change, it's based on history. And
13 history normally doesn't get rewritten, so...

14 Well, if that's it, I appreciate your time.

15 (Workshop concluded at 3:20 p.m.)

16

- - - - -

17

18

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
2 :
3 COUNTY OF LEON)

CERTIFICATE OF REPORTER

4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, KORETTA E. STANFORD, RPR, Official Commission Reporter, do hereby certify that the Undocketed Workshop was heard by the Public Service Commission at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

DATED THIS Monday, June 4, 2001.

Koretta E. Stanford
KORETTA E. STANFORD, RPR
FPSC Official Commissioner Reporter
(850) 413-6734