


BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 010001-ET

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

In the Matter of  
FUEL AND PURCHASED POWER  
COST RECOVERY CLAUSE AND  
GENERATING PERFORMANCE  
INCENTIVE FACTOR.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT  
ARE A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING  
AND DO NOT INCLUDE PREFILED TESTIMONY

PROCEEDINGS:           WORKSHOP

CONDUCTED BY:           COCHRAN KEATING

DATE:                    Wednesday, June 27, 2001

TIME:                    Commenced at 9:30 a.m.  
                          Concluded at 11:30 a.m.

PLACE:                   Betty Easley Conference Center  
                          Room 152  
                          4075 Esplanade Way  
                          Tallahassee, Florida

REPORTED BY:            JANE FAUROT, RPR  
                          FPSC Division of Records & Reporting  
                          Chief, Bureau of Reporting  
                          (850) 413-6732

1 IN ATTENDANCE:

2 COCHRAN KEATING, BILL McNULTY, TODD BOHRMANN,  
3 representing the FPSC Commission Staff.

4 MATTHEW M. CHILDS and KORY DUBIN, representing  
5 Florida Power and Light Company.

6 JAMES BEASLEY, PENELOPE RUSS, JOANN WHEATLY and  
7 DENISE JORDAN, representing Tampa Electric Company.

8 RUSSELL BADDERS and TERRY DAVIS, representing Gulf  
9 Power Company.

10 JAVIER PORTUONDO, representing Florida Power  
11 Corporation.

12 ROBERT VANDIVER AND AVIS PAYNE, representing the  
13 Office of Public Counsel.

14 JOHN McWHIRTER, representing Florida Industrial Power  
15 Users Group.

16

17

18

19

20

21

22

23

24

25

## P R O C E E D I N G S

1  
2 MR. McNULTY: My name is Bill McNulty, and I would  
3 like to welcome everyone to today's staff workshop. Today's  
4 workshop is to discuss the alternative fuel cost-recovery  
5 factor revision schedules. The purpose of the workshop is to  
6 discuss the proposals and allow presentations from the parties  
7 to the fuel docket concerning the appropriate length and timing  
8 of the cost-recovery period for the fuel and purchased power  
9 cost-recovery clause.

10 Notices were sent on June 6th to all parties. And  
11 copies of the staff memorandum, the notice of today's agenda,  
12 parties' comments can all be found on the table. If you  
13 haven't picked up your copy, feel free to go over and get one  
14 now. We also need to remind people to be sure to sign in on  
15 the sign-in sheet that should be circulating. So if you would  
16 please make sure to sign that in before leaving today.

17 I thought we would start with introductions. And  
18 since we don't have that many people here today, I think we  
19 should be able to go through that fairly quickly. We may have  
20 someone who has -- I believe FIPUG has called in, and if you  
21 could identify yourselves.

22 MR. McWHIRTER: My name is John McWhirter, and I am  
23 in Tampa.

24 MR. McNULTY: Okay. And maybe we will start with  
25 staff.

1 MR. BOHRMANN: Todd Bohrmann, Commission staff.

2 MR. KEATING: Cochran Keating, Commission staff.

3 MR. CHILDS: Matt Childs appearing on behalf of  
4 Florida Power and Light.

5 MS. DUBIN: Kory Dubin, Florida Power and Light.

6 MR. BEASLEY: Hello, John McWhirter. Jim Beasley  
7 with Tampa Electric Company. And also with me is Penelope  
8 Russ, Joann Wheatley, and Denise Jordan from Tampa Electric.

9 MR. BADDERS: Russell Badders with the law firm of  
10 Beggs and Lane appearing on behalf of Gulf Power. I have with  
11 me Terry Davis of Gulf Power.

12 MR. PORTUONDO: Javier Portuondo, Florida Power Corp.

13 MR. VANDIVER: Rob Vandiver and Avis Payne with the  
14 Office of Public Counsel.

15 MR. KEATING: Just before Bill goes on, is there  
16 anyone else in the room who hasn't introduced themselves that  
17 may be speaking this morning? Okay. Thank you. And if anyone  
18 who is speaking could come up to one of the microphones because  
19 we are having this recorded and transcribed.

20 MR. McNULTY: Okay. We will be following the agenda  
21 that is attached to the notice this morning. And I want to  
22 emphasize that the point of this workshop is feedback and  
23 encourage people to engage at any time. But, of course, you  
24 know, if there is anyone from the audience who hasn't  
25 identified themselves that finds the need to speak, please come

1 to the microphone and identify yourself. But don't speak from  
2 out in the audience because it won't be recorded.

3 First allow me to summarize the current fuel cost  
4 recovery schedule and 2 it was adopted by the Commission. In  
5 Docket 980269-PU, which was issued on May 19th, 1998, the  
6 Commission established an annual calendar year cost-recovery  
7 period for all cost-recovery clauses for all electric and gas  
8 utilities within the Commission's jurisdiction. Prior to that  
9 time, the Commission had approved seasonal six-month recovery  
10 factors that commenced in April and October of each year. The  
11 new schedule was implemented January 1, 1999.

12 The reasons for switching to an annual calendar year  
13 cost-recovery were several. They included, number one, more  
14 efficient use of Commission and parties resources, and that  
15 basically addressed the ease of administration and allowing  
16 greater time for analysis of fuel docket issues.

17 The second reason was reduce number of midcourse  
18 corrections, which as we know, hasn't necessarily come true,  
19 but the rationale was that if we instituted an annual calendar  
20 year period that the ups and downs would smooth themselves over  
21 over time, and midcourse corrections would be fewer in number.

22 Thirdly, more certain and stable electricity prices  
23 were expected for ratepayers budgeting processes. So customers  
24 were expecting to be able to handle their budgets knowing what  
25 that fuel cost was going to be for an entire calendar year.

1 And that would shift us away from what had previously been  
2 experienced, which was three different price changes during the  
3 year. One in April, October, and then also in January with the  
4 other clauses.

5           Number four was the ease of analysis of fuel cost  
6 information. Annual analysis is easier than analyzing fuel  
7 costs than over three different periods and it is consistent  
8 with the way most of the data are accumulated and reported to  
9 the FERC, to the Department of Energy, and to other reporting  
10 agencies.

11           And, finally, the final reason for shifting to this  
12 annual calendar year period was that it would simplify  
13 Commission audits. Commission audits require accessing  
14 utilities' general ledger for two different calendar years when  
15 you have a seasonal factor in place, and this was seen to  
16 simplify that process.

17           Since the new fuel cost-recovery schedule was  
18 adopted, there have been several midcourse corrections as  
19 everyone knows, and this was due mostly to fuel price  
20 volatility. The Commissioners have expressed concerns during  
21 the last midcourse correction as to whether the reasons just  
22 discussed for implementing an annual calendar year fuel  
23 cost-recovery period is still valid today, and this kind of  
24 reflected on the prospects -- the experience of the past, the  
25 last two years, and the prospects for prices in the future, and

1 the ability of the utilities to control or exert some influence  
2 over what those prices will be.

3           This workshop is being conducted in order to allow  
4 staff to gather feedback and comments so that we can bring a  
5 recommendation pertaining to this issue to the Commission  
6 perhaps in August. And we will be going over procedural  
7 aspects of this towards the end of the meeting as you can see  
8 on your schedule. Staff remains neutral on the outcome of this  
9 issue, and is soliciting feedback today through post-workshop  
10 comments.

11           With that, Todd Bohrmann, who has been coordinating  
12 the fuel docket analysis for several years will describe  
13 staff's first alternative and solicit your feedback.

14           MR. BOHRMANN: Thank you, Bill. As Bill said, my  
15 name is Todd Bohrmann, and I will be discussing the first  
16 alternative that appears on Page 2 of Attachment 1 of the memo  
17 that was sent to the parties in Docket Number 010001 on May  
18 25th. Essentially, under this alternative, utilities which  
19 have a fuel and purchased power cost-recovery clause would --  
20 the recovery period would go from 12 months to 6 months  
21 commencing in January and July of each year.

22           If the utility chose to, and subject to the  
23 Commission approval, the utility could petition to remain on a  
24 12-month recovery period. Although there are two caveats to  
25 keep in mind for choosing a 12-month recovery period. Number

1 one, that choice -- under this proposal, that choice would be  
2 effective for five years, and it would not renew each year. It  
3 would be a five-year period, and then when you got to the end  
4 of that five-year period, then you could choose to remain on  
5 for another five years or you could go to a six-month period if  
6 that was your choosing.

7           And, number two, any true-ups that occurred between  
8 the fuel hearings would be deferred until the following  
9 recovery period. As a matter of an example, I have set out a  
10 schedule which shows how the Commission and the utilities and  
11 other parties to the fuel docket would transition from a  
12 12-month recovery period to a six-month recovery period. Those  
13 utilities which remain on a 12-month --

14           (Interruption.)

15           MR. KEATING: Are you still with us, Mr. McWhirter?

16           (Off the record.)

17           MR. KEATING: I think we can go back on. We are  
18 working on the technical problems. And if Mr. McWhirter joins  
19 us again, I think we can give him the opportunity to address  
20 anything that we have -- any of the proposals that we have gone  
21 over at that point.

22           MR. BOHRMANN: Okay. Where was I? The schedule for  
23 the 12-month -- for the utilities in the 12-month recovery  
24 period would remain the same from how they are right now. So I  
25 will just highlight the changes that would take place for the



1 six-month utilities. The filings for this fall for the  
2 November hearing would remain the same, and then we would have  
3 a hearing in mid to late May of 2002 to set factors for the  
4 July through December 2002 period. And final true-up testimony  
5 would be due approximately March 4th with the estimated actual  
6 data and projected testimony for July through December 2002  
7 would be due approximately March 20th, with the Commission  
8 having a hearing and setting factors for that time period  
9 approximately around May 20th. And then the cycle would  
10 continue on the same schedule for the next six-month period of  
11 time.

12           The audit schedule would remain the same. We would  
13 audit on an annual basis. We looked at the benefits of going  
14 to a six-month recovery period. And primarily what we came up  
15 with was a shorter regulatory lag and more current fuel price  
16 forecasts, and more timely price signals. You know, being more  
17 responsive to changes, changes in market prices of fuel and  
18 purchased power. And we also looked at the drawbacks of a  
19 six-month recovery period. And they include a greater  
20 regulatory cost for both the Commission and the parties with  
21 greater price uncertainty for customers and more frequent price  
22 changes. Those are the ones that we looked at as being most  
23 significant.

24           We have several discussion questions that we raised  
25 for the first alternative that are listed here on Page 3 of the

1 memo and continue on to Page 4. And perhaps during the  
2 feedback we can address some of the comments that were made to  
3 these questions that were filed prior to the workshop. With  
4 that, I would like to open it up to the parties' feedback on  
5 the first alternative.

6 MR. KEATING: And just before we get started on that,  
7 I would like to make sure that that is Mr. McWhirter on the  
8 line.

9 MR. McWHIRTER: Yes, I am on the line.

10 MR. KEATING: Mr. McWhirter, this is Cochran Keating  
11 with the Commission staff. And just to let you know, since we  
12 lost you, I don't know if you could hear us for awhile there,  
13 but we have just gone over the first alternative presented in  
14 staff's memorandum that was sent out on May 25th.

15 MR. McWHIRTER: Cochran, I heard the first part, but  
16 I am distressed that I for some reason disconnected to hear the  
17 last part of your stirring presentation. I will try to catch  
18 up.

19 MR. KEATING: We had it transcribed and it is  
20 probably just as moving on paper as it was over the phone.

21 MR. McWHIRTER: Good.

22 MR. KEATING: But in essence it was just a summary of  
23 what is on Pages 2 and 3 of staff's May 25th memorandum.

24 MR. McWHIRTER: Thank you. If you want me to start  
25 out, our only comment is the same as they were when the program

1 was introduced; to wit, that it makes sense to us from a  
2 conservation approach to change the fuel factors commensurate  
3 with the time that fuel costs go up. We even think that the  
4 six-month program would not be as good as one that perhaps the  
5 factor began in May and ran through October or through  
6 September.

7           But having said that, I think that is readily  
8 apparent as to how things work and would be more suitable to  
9 give people realtime warnings of the true cost of electricity,  
10 and perhaps would invoke some conservation that does not  
11 necessarily exist when people don't get price signals.

12           On the other side of the coin, we like the annual  
13 reporting because it gives you the picture of an entire year's  
14 cost rather than a six-month projection. So also like the fact  
15 that with the annual -- the theory with annual changes is that  
16 you don't have so many hearings and don't have so many reports  
17 to file. And we thought that was worthwhile. But on balance,  
18 it would seem that shorter time periods for fuel factors would  
19 be better.

20           That concludes the FIPUG statement.

21           MR. KEATING: Thank you. Any of the other parties  
22 that are present would like to comment on that alternative.

23           MR. BEASLEY: I had a couple of questions about it.  
24 There appears to be in the alternative where you have an annual  
25 recovery period, a minimum sign-up time frame of five years.

1 And we don't have that now, and I wondered what the purpose was  
2 of having the five-year minimum period. And in addition to  
3 that, midcourse corrections occur, or the need for midcourse  
4 corrections occurs, and I wondered 2 that would be precluded  
5 for any utility that under this option chose an annual recovery  
6 period. It might be counter-productive from the standpoint of  
7 the utility's stability or the ratepayers' service to have  
8 preclusion of any kind of midcourse correction.

9 MR. BOHRMANN: I understand your concerns, and those  
10 are two factors that we considered deeply when we were  
11 designing these alternatives. Speaking first to the five-year  
12 minimum, we wanted the decision to go to a 12-month recovery  
13 period to be something that had a semblance of long-term,  
14 long-term in nature. Not something that you could switch back  
15 and forth to between six and 12 months, depending upon the  
16 circumstances. We wanted something that was made -- a decision  
17 that was made based upon long-term factors and not short-term  
18 factors.

19 And if you chose, if you chose to take the six-month  
20 option, there is no minimum period of time in which you can  
21 remain on the six-month option. A year or two down the road  
22 you may choose to go to the 12-month option at your discretion.  
23 The five-year minimum only applies to the 12-month recovery  
24 period. As opposed to deferring the true-up balance to the  
25 following recovery period instead of allowing a large true-up

1 balance to be recovered in the current recovery period.

2           What I can say is that a 12-month recovery period is  
3 taken at the company's option. And if the company felt that  
4 midcourse corrections, you know, most likely would be called  
5 upon in the future to address any true-up, that would be factor  
6 for remaining on the six-month option. We chose to have an  
7 optional 12-month period because although there have been some  
8 utilities who have requested a midcourse correction, you know,  
9 most recently there has been other utilities which have not  
10 needed to call upon a midcourse correction. And we wanted to  
11 give those utilities the option of staying put where they were  
12 right now.

13           MR. BEASLEY: Would you look favorably upon saying  
14 that if you choose a 12-month recovery period you are stuck  
15 with that until you can justify otherwise, and, you know,  
16 present just cause for changing the recovery period, and that a  
17 true-up needs to be justified in the same way that they have in  
18 the past? I mean, that would -- with the annual option that  
19 would seem to give you some permanence until shown otherwise,  
20 you know, justified otherwise. And then, of course, the  
21 utility would have the burden to show that the true-up is  
22 indeed necessary. I mean, that is kind of what we have now.

23           MR. BADDERS: And I guess to add to that, I think  
24 what he is proposing seems logical to me in that right now we  
25 have already been through some hearings, we have agreed that

1 the 12-month is the status quo. And I'm just saying you will  
2 continue that as, I guess, the base, the default, and let the  
3 six-month be optional, and don't penalize if you want to stay  
4 on 12-month. Allow the midcourse corrections, you still have  
5 to make the same showings that you have to make now, and that  
6 way if you do have utilities who might, you know, for whatever  
7 reason decide they want to go to six months, some want to stay  
8 on 12, you will at least get the benefit of having both go at  
9 the same time.

10           And we can probably see the whole picture, let this  
11 go out a few more years. I don't know if there is an issue of  
12 whether or not two years is enough really to show where we are  
13 going here and where we should be. You may end up with some  
14 utilities on 12, some on six. A little bit administrative  
15 difficulty there, but it is manageable. You would get a bigger  
16 picture. And I think as written this option really almost  
17 prohibits staying with 12 month. I mean, there is a lot of  
18 risk there if you can't do a midcourse, and if you are just  
19 locking in for five years. A lot of things can change.

20           MR. PORTUONDO: I would agree with that statement. I  
21 would also add that to preclude the midcourse correction would  
22 increase the overall cost to the customer by waiting until the  
23 following year and therefore additional interest is accruing on  
24 the unrecovered balance. And it also increases rate shock to  
25 the customer in the following period. So, I guess I would

1 agree with this alternative if we were able to strike the  
2 preclusion from the midcourse correction.

3 MR. BOHRMANN: I understand the comments that have  
4 been made. And another factor that we wanted to -- another  
5 factor that went into developing this alternative was the  
6 recognition that a midcourse correction, the amount of time  
7 that staff and the parties have to evaluate a midcourse  
8 correction versus an evidentiary hearing is shorter, and the  
9 amount of information that is provided is not as extensive.  
10 And we do not want to give the perception of having a -- we do  
11 not want to give the perception that a person could, you know,  
12 a utility could stay on a 12-month recovery period and then  
13 have the midcourse correction sort of as a substitute for, you  
14 know, an evidentiary hearing, you know, midway through the  
15 year. We did not want to give that perception that that was  
16 the intent of this alternative.

17 MR. BADDERS: And mindful of that, I mean, one thing  
18 to consider, I mean, all of this is still subject to audit. I  
19 mean, that is really where the highest level of scrutiny is is  
20 in the audit. And clearly I think the Commission and staff can  
21 spot when it appears that a utility is doing that. I don't  
22 really think the Commission would be rushed to a decision. If  
23 they didn't feel they had enough time and enough information, I  
24 believe they would say no. And I really don't -- I think it  
25 would be hard for the utilities to come in here repeatedly.

1 You might do it once, and, you know, it might get through. You  
2 are not going to do that routinely. And while that may be a  
3 concern, I think structuring the rule like this alternative, I  
4 mean, you are going to do away with it obviously, I mean,  
5 people will just go to six. And all the reasons that we have  
6 stated for going to the calendar year, annual calendar year are  
7 still applicable. And I guess we would come to the conclusion  
8 if they are no longer valid, I just don't think that is true.

9 I guess our biggest comment is to see, or at least  
10 hope that this will just remain neutral as far as allow the  
11 choice. I agree, maybe the choice to go to six month should be  
12 an option, and I don't think someone should be penalized for  
13 going that direction. But mindful, we go through the audit  
14 process, you have good auditors, there is a lot of scrutiny at  
15 that level. So I think the Commission could probably be made  
16 comfortable with keeping midcourse corrections. We have had  
17 the rule since '84, or the order, and I don't really see that  
18 it has been abused.

19 MR. BEASLEY: One additional safeguard is that the  
20 Commission and the Supreme Court of Florida have indicated that  
21 fuel adjustment is more or less like an interim thing, and the  
22 Commission can look back and make adjustments on prudence, so  
23 it's not like it is cast in concrete.

24 MR. BOHRMANN: I understand.

25 MR. PORTUONDO: I guess I would add that we really



1 haven't had enough time to see if the annual period is truly  
2 working. Unfortunately we implemented it just before some  
3 unusual pricing volatility. I think staff needs to take a step  
4 back and allow this to run a little longer before coming to the  
5 conclusion that it is not working or that every year we are  
6 going to be in a midcourse situation.

7 MR. BOHRMANN: One question that I have is that  
8 admittedly it is very difficult to forecast short-term fuel  
9 prices anywhere from, you know, up to two years out into the  
10 future, you know, for all intents and purposes. Our short-term  
11 fuel prices two years out into the future, I mean, is there a  
12 reliable source of information out there that utilities can  
13 call upon to serve as an input into their factor as opposed to  
14 having a shorter time period of, you know, if you a run a  
15 six-month factor you would probably be under 15 months.

16 MS. DUBIN: Todd, I think it depends on the amount of  
17 volatility that is out there. I mean, some of the volatility  
18 that we saw, some of the spikes that we saw in fuel prices  
19 occurred very quickly. So it just really depends. You know,  
20 we have a situation where we had a very, very volatile year and  
21 a half here. And prior to that, the last ten years, I think,  
22 were a whole lot easier to forecast.

23 I would like to ask one question, though, and I think  
24 there may be confusion here on the first alternative the way  
25 the title reads. But if a utility was to go to six months

1 there would still be the midcourse correction?

2 MR. BOHRMANN: Yes. If the utility chose to be on  
3 the six-month recovery period the midcourse would still be in  
4 effect.

5 MR. PORTUONDO: Todd, could you explain that<sup>2</sup>, why if  
6 the utility -- if you are saying that their ability to forecast  
7 is enhanced by being on a short six month period<sup>2</sup>, why would  
8 they be allowed a midcourse correction when the 12-month period  
9 utility would not be allowed?

10 MR. BOHRMANN: Primarily because there would be no  
11 corrective measure at either the Commission's or the utilities'  
12 disposal between that six-month period of time. If the utility  
13 chose -- if the utility chose to remain on the 12-month  
14 recovery period and the Commission approved it, that would be  
15 done with the knowledge that a six-month option was out there,  
16 and both the utility, all the parties, and the Commission  
17 agreed that the 12-month option was best for that utility.

18 And, like I said, we did not want to give the  
19 perception that a midcourse correction for a 12-month utility  
20 would serve as a substitute for a hearing, you know, on a  
21 six-month basis. We wanted to eliminate that perception to the  
22 public.

23 MR. PORTUONDO: But I guess I'm still a little lost.  
24 If you are assuming that a six-month utility is able to  
25 forecast more precisely, but yet it still experiences

1 volatility in fuel prices that were not foreseen, how could you  
2 require an even higher hurdle for the 12-month utility?

3 MR. BOHRMANN: I understand that comment. And we can  
4 take it under advisement, you know, while we are formulating  
5 the staff recommendation.

6 MR. McNULTY: One of the things that I might mention  
7 here is that there might be a dichotomy in the volatility that  
8 is experienced by different utilities. Some utilities may have  
9 a much higher degree of volatility because of fuel mix and a  
10 variety of reasons. And for those utilities, they may opt for  
11 a shorter period, a six-month period. And they may want and  
12 need a mechanism in place. And that need and that mechanism  
13 may not be as important for the utilities. And I think that  
14 maybe some of that went into the thinking behind it as well as  
15 to 2 you would allow a recovery period even within the  
16 six-month period but for not for a whole 12-month period.

17 MR. CHILDS: Is it correct to view the -- in this  
18 discussion about no midcourse correction under your first  
19 alternative, no midcourse correction for the 12-month period  
20 because there is a procedure in your second alternative to  
21 address changes if you have an annual factor, and that is where  
22 you came out as the way to address the change for the 12-month  
23 period.

24 MR. BOHRMANN: The two alternatives are mutually  
25 exclusive, at least as they are designed right here. But in

1 the second alternative we have designed a way that if a  
2 significant true-up is built up, that the Commission and the  
3 utility and the parties in the docket can address that and send  
4 the proper price signals to the customers in a faster way than  
5 currently it is being done. But Cochran will speak more about  
6 the second alternative in a few moments.

7 MR. CHILDS: Okay. What I'm trying to understand is  
8 I did not see 2 they were really mutually exclusive, that's  
9 where I had -- I read it to say that the staff's view was it  
10 was probably preferable with a 12-month period to have changes,  
11 if necessary, addressed as is set out for the second  
12 alternative in that --

13 MR. BOHRMANN: Well, as these alternatives were  
14 designed for the purpose of this workshop they are mutually  
15 exclusive. This doesn't mean that in a staff recommendation  
16 that some hybrid would not appear. But that would be based  
17 upon discussions here at the workshop and in the deliberative  
18 process that takes place when developing the staff  
19 recommendation.

20 MR. KEATING: And I would just add that I think the  
21 alternatives that are in staff's memorandum were thrown out  
22 simply for what we are doing now just for discussion purposes,  
23 and we aren't wedded to any particular manner of doing this.  
24 So, you know, based on what we have heard today, we will think  
25 about it more. And I assume that based upon what the parties

1 hear today, they may address or come up with their own  
2 alternative, if any, in post-workshop comments.

3 MR. BEASLEY: Do you all think that either of these  
4 alternatives are better than the status quo?

5 MR. KEATING: I don't know that anybody -- I don't  
6 have an opinion on it. But I'm not sure if anybody else up  
7 here does. I don't think that -- when we say we aren't wedded  
8 to either alternative, I think that includes the status quo,  
9 but I will let Bill or Todd say something different if they  
10 have a different opinion.

11 MR. McNULTY: As we said at the outset of this, we  
12 really don't. We are here to gather the feedback and to look  
13 at all of that before making a determination, so we really do  
14 want to consider what you have to say today and in your  
15 post-workshop comments. And what you have already submitted  
16 has been, you know, very helpful. I have, I guess, a question  
17 for Florida Power and Light along the lines of switching from  
18 the status quo to a six-month or semi-annual process.

19 I kind of got from the comments that you submitted  
20 that it sounded pretty much like you were looking at this on  
21 balance saying, you know, there are several things that are  
22 included in the previous order as the reasons for going to a  
23 calendar year annual factor that are still valid and still  
24 important to pursue. But on balance, we have the issue of  
25 price volatility, and we think that a six-month evidentiary

1 hearing would be better. Yet maybe some other utilities are  
2 looking at the continued availability of the midcourse  
3 correction tool as a method to make the adjustments.

4           2 do you feel as though the midcourse correction tool  
5 is not appropriate for the utility at this time where this  
6 switch should be made, you know, 2 and why is that tool not  
7 appropriate anymore?

8           MS. DUBIN: Although I think the midcourse  
9 corrections are appropriate, but I think in our situation where  
10 we have significant fuel costs, they run about between 2.5  
11 billion to almost \$3 billion a year, so that our potential over  
12 and underrecoveries can be of very significant magnitude. And  
13 because of that, we are thinking that a six-month fuel  
14 adjustment would be better suited for Florida Power and Light.  
15 Originally we had looked at this over the years. And when fuel  
16 costs were more stable, we had looked at this. And we had a  
17 lot of customers saying we wanted to be able to do our budgets  
18 for the year.

19           And a lot of customers like condo associations and  
20 small businesses, and even large businesses, they wanted to be  
21 able to be able to project what their electric charges were  
22 going to be for the year. So taking into account that desire  
23 among those customers, as well as how stable prices had been  
24 for quite awhile, that's 2 we were supporting an annual filing.

25           The other efficiencies that you gain by going to the

1 annual filings still exist. I mean, being able to have data on  
2 a calendar basis the same way we report to DOE and FERC is a  
3 great efficiency for us. Now, if the six-month factors also  
4 follow that same -- you know, there are two six-month periods,  
5 but they add up to a calendar, you still gain some of that  
6 efficiency. And also the bill changes not three times a year,  
7 but twice a year. So you are at least giving some customers  
8 what their change is in January so that it only changes twice a  
9 year.

10 So, there are things that the six-month fuel  
11 adjustment on the January and July factor still gain. But we  
12 just feel like because of the potential magnitude of our over  
13 and underrecoveries, six months would work better for us. Not  
14 to say we think the midcourse corrections also have worked well  
15 in the past.

16 MR. KEATING: And I think in your comments also you  
17 had indicated that even if we were on a six-month period, with  
18 the volatility that has been experienced the last couple of  
19 years, that there still could have been or would have been the  
20 need for a midcourse correction.

21 MS. DUBIN: Yes.

22 MR. McNULTY: So the opinion is out there then that  
23 the fuel price volatility that has been experienced in the  
24 recent past will continue in the future, and that it is an  
25 outlook. Basically your outlook is that fuel price

1 volatility -- and I'm asking this as a question, not as your  
2 statement, as a question. Is it your outlook that fuel price  
3 volatility will continue in the future? Not the shift. I  
4 think you also mentioned in your comments that there was a  
5 shift upward in cost, specifically for natural gas. But  
6 outside of that shift, that that volatility will remain that  
7 has been seen in the last few years.

8 MS. DUBIN: I'm not sure that we are predicting any  
9 other spikes like we have been seeing, but with fuel there is  
10 always the possibility of large fluctuations in fuel prices.

11 MR. CHILDS: But it is kind of a combination of  
12 volatility and the high level of the prices. Because, you  
13 know, looking at it if the price were much lower as sort of a  
14 base level, you know, the same sort of volatility wouldn't  
15 produce the same effect on dollars for a change in the fuel  
16 adjustment factor. And that is kind of what has happened in  
17 the last year and a half is we went to a higher level.

18 MR. McNULTY: My other question was for FPC and that  
19 was to the extent of what is your position. I think I  
20 identified it, Javier, as being that you are okay with the  
21 status quo, but I'm not certain that that is the position of  
22 the utility.

23 MR. PORTUONDO: Yes, I think our position is that we  
24 are okay with the status quo. We would support staff's first  
25 alternative if we were able to strike the preclusion from using



1 the midcourse correction.

2 MS. DAVIS: I have a question. Your comment about  
3 staying on the 12-month factor would be subject to Commission  
4 approval, do you foresee any standard that we would have to  
5 meet to get the Commission approval? Would it be purely  
6 discretionary? Is it subject to how many midcourse corrections  
7 you have asked for recently, or any comment on that?

8 MR. BOHRMANN: I would think that as we evaluated the  
9 utility's request to stay on the 12-month factor that we would  
10 look at the volatility of the fuel and purchased power costs  
11 that the utility has incurred, especially over the past two to  
12 three years. And then have our analysis, you know, lead us in  
13 whatever direction it does from that point. The number of  
14 midcourse corrections would definitely play a factor in  
15 evaluating that request.

16 MS. DAVIS: If you are considering that alternative  
17 then you sort of need to know what the standard is going to be  
18 to make a determination about whether that is a viable  
19 alternative for the company or not.

20 MR. BOHRMANN: You know, based on how this  
21 alternative is structured, if, you know, the utility would make  
22 the decision, you know, can it -- you know, can it be in a  
23 position where any true-up can be deferred to the next year  
24 without, you know, substantial -- without substantial harm.  
25 And if the answer came back that the possibility for true-ups

1 were too great, that a six-month recovery period would be the  
2 better alternative, you know, that would lead you to make the  
3 decision to go to the six month. But if it came back that the  
4 true-ups in the past have not been very large and they have  
5 not, you know, broken through the ten percent barrier, and, you  
6 know, caused a midcourse correction to be requested, you know,  
7 the utility would probably make a decision to stay on the  
8 12-month factor.

9           And we would look at that decision, you know, to  
10 request a 12-month factor as something within the utility's  
11 discretion, and a decision that is made given the option of  
12 going to the six-month factor. So that is what we would look  
13 at is that it was within the utility's discretion to stay on  
14 the 12 months and go from there.

15           MR. KEATING: And just to make a note, that was  
16 something that we asked you all to respond to in the  
17 memorandum. That was a question that we did have was what  
18 criteria we should use. And if the parties have any thoughts  
19 on that, we would like to hear them, too.

20           MR. BEASLEY: Would you all consider possibly a third  
21 alternative in light of the recency of the adoption of the  
22 12-month recovery period and the aberrational nature of the  
23 last couple of years on fuel volatility to keep -- to say,  
24 well, we will keep the status quo except for anybody who wants  
25 to go to a six-month period?

1           MR. KEATING: I mean, I think that option is open as  
2 far as we are concerned. I think all options are at this  
3 point.

4           MS. DUBIN: I just have one comment, too, about  
5 midcourse corrections I think you need to keep in mind. I know  
6 we have looked at the last number of years going back, and we  
7 have had just as many midcourse corrections to lower the bill  
8 as we have to increase the bill. So I think that is something  
9 to keep in mind, that midcourse corrections work both ways.

10          MR. KEATING: Yes.

11          MR. VANDIVER: Do you all foresee any problems in  
12 the Commission's ability to monitor this with the utilities  
13 getting on different schedules in terms of resources and  
14 keeping track of all of it with the utilities getting on  
15 perhaps different cycles with 12 and six-month, and getting on  
16 different schedules and whatnot?

17          MR. McNULTY: I don't personally think there would be  
18 as much difficulty with this format at this time, I'm open to  
19 ideas on it, than there were prior to January 1, 1999 when we  
20 had three different time frames during the year in which rates  
21 changed. I would think that this would be, perhaps, a bit  
22 simpler than that. But it would be an increase in requirements  
23 on staff and Commission resources. And we have a lot of stuff  
24 coming up in the next year with rate cases pending and so  
25 forth. So for at least the next year there would be some

1 strain, but I can't say at this time that it's not something  
2 that would go beyond the resources of the Commission.

3 MR. BOHRMANN: And I would also add that that is one  
4 of the reasons why we suggested the five-year minimum for  
5 staying on the 12-month recovery period so that all the parties  
6 and the Commission could have some idea of where to -- you  
7 know, how to plan their resources and how to use them in the  
8 most effective way.

9 And, finally, I would add that prior to January 1,  
10 1999, we had two utilities -- for the capacity clause we had  
11 two utilities on a six-month factor and two on a 12-month  
12 factor, and one on a 12-month GPIF, and I believe three on a  
13 six month GPIF. So we have dealt with different recovery  
14 periods in the past and it wasn't that large of a problem.

15 MR. BEASLEY: Have you given any thought to a  
16 nine-month recovery period?

17 (Laughter.)

18 MR. BOHRMANN: No, we haven't.

19 MR. BADDERS: Or a 15?

20 MR. BOHRMANN: Are you making a suggestion?

21 (Laughter.)

22 MR. BOHRMANN: Actually we were thinking about a  
23 daily factor.

24 MR. KEATING: Did Mr. McWhirter hear that? I don't  
25 know if that is consistent with his position or not, but it

1 would seem to be.

2 MR. BOHRMANN: Is there any other feedback on the  
3 first alternative? I will turn it over to Cochran to summarize  
4 the second alternative.

5 MR. KEATING: Staff's second alternative essentially  
6 would stick with an annual calendar year recovery period, but  
7 instead of just approving one factor to be recovered for that  
8 year, we would approve essentially a band based on high and low  
9 band forecasts of fuel, energy sales, and efficiencies. And I  
10 think as the memo states, any other assumptions that may be  
11 appropriate.

12 What this alternative contemplates is that any  
13 changes within the band, within the high and low band, could be  
14 approved expeditiously. And I'm not sure if it is -- I can't  
15 remember if we used the term administratively in here or not,  
16 obviously an administrative approval would be just a staff  
17 approval without going to the Commission. And it may be that  
18 rather than that we would have an expedited Commission approval  
19 for anything within that approved band. And I would like to  
20 hear some feedback from the parties on whether or not they  
21 think if the Commission had approved a band, any further  
22 Commission approval of changes would be necessary.

23 The other part of the alternative is that any  
24 midcourse corrections that would go beyond the high and low  
25 bands would require an evidentiary hearing before the

1 Commission. So essentially it would be a little more -- it  
2 would be a little more involved than the current midcourse  
3 correction procedures. So with that we felt that perhaps some  
4 of the benefits of this alternative would include more timely  
5 price signals for changes within the band, smaller over and  
6 underrecoveries, shorter regulatory lag for changes made within  
7 the band, and perhaps some more efficient use of Commission and  
8 parties resources.

9           Some of the drawbacks that we saw with this option  
10 were perhaps greater price uncertainty. For outside band  
11 changes, obviously you have a little bit longer regulatory  
12 review and perhaps less timely price signals. And the last  
13 thing we have listed in our memo is potential negative customer  
14 feedback.

15           We put out a list of discussion questions on the  
16 second alternative. I don't believe that any of the parties in  
17 their comments filed prior to the workshop had said anything in  
18 support of this alternative. If you have any comments this  
19 morning, we would be glad to hear them, or if you have any  
20 thoughts on what we have proposed in here, or if you think  
21 perhaps there are some bits and pieces of this alternative that  
22 could work well with either what we are doing currently or what  
23 are was proposed in the first alternative.

24           MR. BEASLEY: It looks to me like the high band and  
25 low band alternative would be a surrogate for the plus or minus

1 ten percent. And if so, how would we expect the Commission to  
2 allow administrative approval when we have hearings for  
3 midcourse corrections with the ten percent standard?

4 MR. KEATING: Let me make sure I follow the question,  
5 because it may be something that -- the question that I had had  
6 as we came up with this proposal, and that was, you know, how  
7 close will the high and low bands be to what has typically been  
8 the ten percent threshold for requiring a utility to come in  
9 and seek approval of a midcourse correction.

10 And I suppose that it would allow for some more  
11 flexibility before you got to the ten percent. And I don't  
12 think we viewed the ten percent as a threshold you have to  
13 cross to get a midcourse correction. I think if you look back  
14 to the specific language in the order approving the midcourse  
15 protection -- protection. Mr. McWhirter's language is in my  
16 mind. -- the midcourse correction procedures, it simply says  
17 that the ten percent is the point at which you notify the  
18 Commission that you expect over or underrecovery.

19 I suppose that this option would give some more  
20 flexibility within that ten percent so that factors could move  
21 up and down and perhaps that would reduce some of the over or  
22 underrecovery before you got above the ten percent, or before  
23 you got to the high or low end of the band.

24 MR. CHILDS: I had two questions on this as to how  
25 the band approach would work. First of all, I thought what you

1 were talking about is that the band didn't necessarily have any  
2 connection to the ten percent, and that, for instance, if you  
3 had a band presentation to the Commission which would be  
4 approved and it was at the level of, let's say, seven percent  
5 above the midpoint, that if prices changed that you -- even up  
6 to ten percent, you could come in and use the band amount of  
7 seven percent and potentially still have some impact that was  
8 not picked up with a midcourse correction.

9           But you could then pursue the next step, that if you  
10 sought to get the full amount of what you thought was the  
11 change, you would go through your alternate procedures, as  
12 well, which would be to go to a hearing for the change beyond  
13 the band. But that the change up to the amount represented by  
14 the band would be on an expedited basis, and to go beyond would  
15 be, as you are saying here, require the hearing. But they are  
16 not necessarily mutually exclusive.

17           MR. KEATING: I don't know if I had thought about it  
18 that way, and I will defer to Todd or Bill to see if they have  
19 any thoughts on that.

20           MR. BOHRMANN: That is a correct characterization.  
21 The high and low bands, there are no strict correspondence to  
22 the ten percent up or down. And a utility could, or any party  
23 could, you know, could choose to request a change within the  
24 band administratively. But any change that was made outside of  
25 the band would have to be made -- or any incremental change



1 outside the band would have to be made through an evidentiary  
2 hearing. So you characterized the alternative correctly.

3 MS. DAVIS: I have a follow-up question to that,  
4 then. So you anticipate the band would represent the worst  
5 case and the best case and it's not necessarily a percentage,  
6 is that what you anticipate?

7 MR. BOHRMANN: That is correct. In your testimony  
8 you would file, you know, a low band, you know, the middle, and  
9 the high band. And the Commission would then -- or the staff  
10 would analyze both the low and the high band on the same basis  
11 as we have in the past, you know, for the most likely  
12 conditions. And then the Commission would approve both the low  
13 band and the high band in addition to, you know, the middle  
14 factor.

15 MS. DAVIS: And so that band could be more or less  
16 than ten percent.

17 MR. BOHRMANN: That is correct.

18 MS. DAVIS: Okay.

19 MR. FLOYD: Todd, I had a question. I guess I should  
20 have read this before. But what if we set some kind of band,  
21 and I don't know, you mentioned seven percent or whatever it  
22 is, and it goes -- it is seven percent and they file for some  
23 kind of staff administrative approval, and we fumble around  
24 with it like we do some things. I mean, we look at it and we  
25 say, well, yes, it's up to us, but we don't necessarily like

1 it. And at what point do people know what we are going to do  
2 with it?

3 MR. BOHRMANN: It's important to keep in mind that  
4 the Commission would have already ruled that the low and the  
5 high band factors were reasonable given the assumptions that  
6 were used as inputs to come to those -- to come to those  
7 factors.

8 MR. FLOYD: So we are not approving anything, then,  
9 it's kind of an automatic.

10 MR. BOHRMANN: Those low and high band factors have  
11 been preapproved in a sense.

12 MR. FLOYD: Okay. I thought you meant staff would  
13 look at it and make some determination. But you are saying  
14 they would set some kind of band and you could automatically  
15 have a rate increase.

16 MR. BOHRMANN: Based upon the factors that have  
17 already been approved by the Commission.

18 MR. CHILDS: Well, you would, at least, I think, have  
19 to make some sort of a showing that the -- I am assuming, that  
20 the costs are now raised sufficiently as to be -- that it is  
21 more appropriate to go with the lower part of the band or the  
22 higher part of the band.

23 MR. BOHRMANN: Yes.

24 MR. CHILDS: You wouldn't just come in and say, we  
25 prefer the change. You would have to say, prices have gone up

1 or gone down or whatever.

2 MR. BOHRMANN: Yes.

3 MR. KEATING: I assume that there would be some limit  
4 to the -- well, I guess to the number of changes, but I was  
5 thinking more along the lines of how often you would come in.  
6 Perhaps it would be something that would be done monthly. I'm  
7 not sure. It has some similarities to what is done in the  
8 purchased gas adjustment docket where there is a cap set and  
9 you can flex down from the cap. And I'm not crystal clear on  
10 how that works, but I have an understanding that we get the  
11 information from each utility, I guess, on a monthly basis.  
12 You know, we are going to charge this factor for this month.

13 MR. CHILDS: Uh-huh.

14 MS. JORDAN: Denise Jordan for Tampa Electric. Just  
15 so that I'm clear, I guess I saw it a little bit more static,  
16 but it sounded like you were making it a little bit more fluid.  
17 So, would you foresee the possibility of having monthly fuel  
18 factors for electric based on within the band?

19 MR. BOHRMANN: As this alternative is set up it is  
20 conceivable that if a utility was to incur an underrecovery in  
21 one month they could come in and make a change within the band.  
22 And then if they overrecovered the following month, it is  
23 conceivable that a party could come in and request a change  
24 down also within the band. And that is one of the questions  
25 that we had in our list of discussion questions is, you know,

1 does the Commission have the authority to limit the number of  
2 within band midcourse corrections a party may request during a  
3 calendar year. That is something that we are going to have to  
4 give more thought to about how we can prevent, you know, a  
5 month-to-month almost change in the factors, at least  
6 conceivably as the alternative is set up.

7 MS. JORDAN: Having said that, keeping in mind, you  
8 know, from the agenda conference where we had the midcourse and  
9 some of the Commissioners comments about price stability, I  
10 guess I'm going to take a step back now and say what is our  
11 objective here. Are we really redesigning or are we trying to  
12 address specific issues that were put before us earlier.  
13 Because that fluid to me -- I mean, I'm not opposed to that,  
14 but it will definitely increase the price signals and what you  
15 are sending to the customer monthly if you did that.

16 MR. KEATING: I mean, the downside is that you could  
17 have possibly greater changes, greater price changes and more  
18 price changes for the customer, and that is -- on the plus side  
19 you give customers better price signals, and I'm not sure which  
20 way the --

21 MR. CHILDS: But you're not saying that -- I didn't  
22 read this to be that the staff was saying that they thought  
23 that that should be done, but that they were open to comments  
24 as to whether the extent to which you might limit it, either on  
25 the basis, I assume, of number of changes or criteria for a

1 change.

2 MR. KEATING: Right.

3 MR. CHILDS: I mean, you might say, well, yes,  
4 theoretically it could go up to seven percent on a new forecast  
5 and then down to 6.5, but you wouldn't want to follow that kind  
6 of a change.

7 MR. BOHRMANN: I think that would run counter to what  
8 the Commissioners had said at the March 6th and March 13th  
9 agendas, you know, to incur that much more administrative cost.

10 MR. VANDIVER: And the citizens are not prepared to  
11 support administrative approval of price increases on a monthly  
12 or quarterly basis.

13 MR. BADDERS: I guess if we are looking at this back  
14 in '99 when the decision was made to go to an annual calendar  
15 recovery period, obviously some of the issues were regulatory  
16 costs, administrative costs. If we are coming up with dual  
17 bands, we are going to have issues on that, you know, every six  
18 months or every year. You're changing the -- I mean, if you  
19 can come in on a monthly basis and you changed the price, the  
20 customers are going to see that. I can't imagine the  
21 industrial customers liking that to any degree, and residential  
22 customers probably aren't going to understand 2 it keeps  
23 changing.

24 MR. BOHRMANN: Right.

25 MR. BADDERS: I think when you look at the scale,

1 this is going the complete opposite direction of where we tried  
2 to go a couple of years ago. And if we are just trying to make  
3 some fixes as far as midcourse corrections and some price  
4 volatility for one or more utilities, I would hope we could get  
5 back a little more to what we have now and then trying to tweak  
6 that to give some options to people who need some options.

7 I mean, at the table today there is three utilities  
8 who like the annual status quo, and one utility who has a need  
9 for an option. And I'm not opposed to giving that option, I  
10 understand. I mean, their dollars are big. And a few percent  
11 matters when you are talking billions of dollars. So we would  
12 support something like that. But I think this is going the  
13 opposite direction of everything -- what the Commission found  
14 was important when we went to what we thought was status quo  
15 today.

16 MR. PORTUONDO: If you are trying to identify a way  
17 to introduce an expedited correction versus a full evidentiary  
18 hearing, couldn't you just apply what you are proposing here to  
19 the current midcourse correction? So if it is something within  
20 the ten percent it could go through on an expedited basis,  
21 something significantly above the ten percent would require an  
22 evidentiary hearing rather than making this so administratively  
23 burdensome and complex.

24 MR. McNULTY: What's to say that, you know, you don't  
25 have two nine percent changes, something below a midcourse

1 correction that follow each other within a few months of each  
2 other? You know, which essentially would, you know, bust up  
3 the burden into two different buckets, yet sidestep an  
4 evidentiary proceeding in that case.

5 MR. PORTUONDO: It goes to the same issues that you  
6 are having to deal with here, is how frequently will the  
7 utility be allowed to increase or decrease its rates within  
8 that band.

9 MR. BOHRMANN: To address some of the comments that  
10 have been made, the purpose of this alternative was to  
11 facilitate discussion about the idea of having a more -- for  
12 two reasons, number one, because of the volatility in fuel  
13 prices that we have seen over the past couple of years, we want  
14 the ability to examine that fuel cost volatility in a more  
15 deliberate regular manner as would be provided in the fuel  
16 hearing, you know, each November.

17 And then once we examined the utility's assumptions  
18 about fuel cost volatility and the Commission said that these  
19 are reasonable lows and highs, then any -- you know, a change  
20 within those two numbers could be made on a more expeditious  
21 manner than what is currently being done right now. And it is  
22 at the parties' option to come in and request, you know, a  
23 change within the band.

24 If a utility, you know, had a five percent  
25 underrecovery, it could choose for the reasons of maintaining a

1 stable price to its customers, could choose to defer that five  
2 percent underrecovery to the following year, like it has, you  
3 know, as it does right now. And we are not exactly, you know,  
4 in terms of how the within-band change would be made, you know,  
5 whether it could be done administratively through staff, or  
6 whether the prehearing officer could make that change, or  
7 whether we need to go to an agenda and get a panel or the full  
8 Commission to approve the change, we are not quite sure what  
9 the Commission's authority is in that regard. And that is  
10 something we are going to have to examine in more detail before  
11 we go to agenda, you know, with any sort of change that  
12 contemplates something like this. I hope I have addressed the  
13 most recent comments.

14 MR. CHILDS: One other question I wanted to ask about  
15 this as to how it would work. I think there was some comment  
16 about the potential for frequent changes and a comment which I  
17 don't know how the gas clause works, I don't know at all, but I  
18 assumed that we would be doing it this way. In other words,  
19 right now when you look at a ten percent factor, a ten percent  
20 change, I think what we're looking at is the realistic  
21 conclusion that there is going to be a change for the period of  
22 at least ten percent. I don't think you -- and if you looked  
23 at your banded forecast, I'm assuming that it is not that you  
24 would say, well, for the last month, you know, we are off. You  
25 would still ask yourself the question where are we going to be



1 for the period, and make it on the basis of the cumulative or  
2 period estimate as opposed to the shorter term. So, you know,  
3 I thought that -- I don't think we have said this is what we  
4 want, but I'm trying to sort it out. I thought that is how you  
5 would implement it, that you wouldn't necessarily have all of  
6 those frequent changes unless you had really substantial  
7 changes in fuel costs because you would be looking at it over  
8 the whole period. Is that right?

9 MR. BOHRMANN: You know, it would be at the parties'  
10 discretion to request a change within the band. And one of the  
11 things that staff would be looking at during its expeditious  
12 review is do the current numbers -- do they represent a trend  
13 and are they borne out for the entire period of time. If it is  
14 a one-month anomaly, I think that it would be incumbent upon  
15 staff to recommend not allowing that within-band forecast --  
16 within band change to take place. If it was a one-month  
17 anomaly, if it was not supported by, you know, the whole  
18 period.

19 MR. CHILDS: And I'm trying to go for the -- sort of  
20 look at the whole period and say that you would have to  
21 conclude that the cumulative change throughout the period was  
22 going to approach some sort of a threshold in the first  
23 instance for you to make a change. I mean, for instance, if  
24 you had a band that was seven percent higher was the top end of  
25 the band above the midpoint, and in month four you had a

1 revised forecast that said you are going to be 4-1/2 percent  
2 off your midband forecast, I'm assuming that wouldn't meet the  
3 criteria for a change in the period of your factor. You just  
4 wouldn't do it.

5 MR. BOHRMANN: As this alternative is written out,  
6 you would be able to request --

7 MR. CHILDS: I couldn't request it.

8 MR. BOHRMANN: You could request it. No, you could  
9 choose not to, but that would be within your discretion under  
10 how this alternative is written.

11 MR. CHILDS: Then I'm confused again. I am thinking  
12 that when you have this alternative and you ask what a reaction  
13 is, is that you might say, well, that is the way the  
14 alternative is now, but that doesn't make sense to word it that  
15 way, so we are going to change the alternative somewhat, okay.

16 MR. BOHRMANN: Uh-huh.

17 MR. McNULTY: I thought that the alternative as it  
18 was written was basically saying you have the option to within  
19 a band come in and change regardless of what your changes in  
20 costs have been. And that only when it exceeds that band does  
21 an evidentiary hearing kick in. But it's an adjustment that  
22 takes place based upon the utility's discretion of coming in  
23 for an adjustment.

24 MR. CHILDS: And I guess I just never conceived of  
25 that. I thought that it would be that you have a banded

1 forecast, you know, and it would say that here is our potential  
2 for fuel change or fuel costs during the period, and then after  
3 your sum experience you said, well, it has happened. We are up  
4 there at the top end of our forecast and so we can go in and  
5 ask for a change. But not that you could not experience a  
6 substantial change in fuel costs and come in and ask for a  
7 change to your factor nevertheless. We just thought you  
8 wouldn't do that, you wouldn't let anyone do that.

9 MR. KEATING: I'm not sure.

10 MR. CHILDS: And that you would write it so we  
11 couldn't.

12 MR. KEATING: Yes, I'm not sure that we would. I  
13 think Todd said earlier there would be have some showing.

14 MR. CHILDS: I mean, maybe it's written that way,  
15 but --

16 MR. KEATING: Some showing of -- that was my  
17 understanding of the alternative, was there would have to be  
18 some showing at least to staff that there was a reason for the  
19 change.

20 MR. PORTUONDO: I guess along those lines, what would  
21 staff expect to see in such a request for a change?

22 MR. BOHRMANN: We would expect to see that suppose  
23 you had requested a four percent change in your factor, which  
24 was within your band. We would expect to see some information  
25 to suggest that at the end of the period without any change in

1 rates that you would have a four percent underrecovery.

2 MR. PORTUONDO: How does that differ from the current  
3 midcourse correction?

4 MR. BOHRMANN: It differs because under the current  
5 system, under the current system we are looking at all this  
6 fuel cost volatility almost from a fresh perspective. And  
7 whereas under this alternative we have already looked at -- we  
8 have already looked at the fuel cost volatility that the  
9 utility thinks will be there for the upcoming recovery period.  
10 And, you know, we are just trying to make -- you know, with  
11 that information that the utility would provide or party would  
12 provide, we are just trying to make sure that the change is  
13 justified based upon the facts that exist at the utility at  
14 that time.

15 MR. PORTUONDO: Isn't that what you do now? Aren't  
16 you having to look at the new forecasted data to determine its  
17 correctness, its prudence? I mean, I guess I'm a little  
18 confused as what would you be doing differently with the  
19 information that you get for a request to change within the  
20 band that you wouldn't be doing with a current request under  
21 the midcourse correction rule or order?

22 MR. KEATING: Are you asking what different  
23 information we would look at rather -- I mean, the only  
24 difference I see obviously is -- the procedural difference is  
25 the that way we are doing it now, we go to the Commission for

1 any change in the factor. And under this alternative if it was  
2 within the forecast band that was approved by the Commission at  
3 the previous fuel hearing, then it wouldn't go to the  
4 Commission.

5 MR. BOHRMANN: You also have to keep in mind that the  
6 flip side of this alternative is that if there is a change  
7 outside the band there would be a Commission hearing to examine  
8 the changing conditions and to determine what the new rate  
9 would be. That is the flip side of that.

10 MR. VANDIVER: Have you all --

11 MR. PORTUONDO: I'm just still a little lost. If  
12 staff felt that it didn't have enough information, given the  
13 magnitude of the correction, which would demonstrate even in  
14 today's world that it would be outside a band possibly, as they  
15 did in the last midcourse you requested more data in order to  
16 perform your analysis. So I don't see the distinction.

17 MR. McNULTY: I think some consideration is that if  
18 we know a lot of the basic information about the variability of  
19 fuel costs that are expected in the coming year, and we know  
20 that in November, and then a utility comes in for a correction  
21 within the band, we have already done a lot of our analysis.  
22 And as you know, these requests come to Commission staff with  
23 generally very little time in which to do our analysis and to  
24 put together a recommendation. This allows us to have kind of  
25 like preanalyzed the situation to a certain extent so that

1 staff will have the ability to process the request in a more  
2 timely fashion and with having already had some of that  
3 analysis taken care of. That is at least one aspect of, I  
4 think, that alternative.

5 MR. CHILDS: There is maybe one other difference.  
6 Keep in mind, I think, that as Kory said that the changes have  
7 been both up and down. And over the years from when the  
8 Commission first addressed this idea of midcourse correction,  
9 the idea of utilities telling the Commission was so that the  
10 utilities would tell the Commission of the change and not avoid  
11 a midcourse correction.

12 And at one time when we had the six month clause the  
13 question was, well, you know, if we have a change but it occurs  
14 towards the end of the six-month period, then there is a  
15 concern about whether it's worth it to try to implement it or  
16 whether you really can implement it.

17 And when the changes were implemented, one of the  
18 motivating factors was the avoidance of the interest on the  
19 clause charges that would carry over to the next period. So,  
20 although the Commission staff and the Commission had the --  
21 wanted to look at information, they didn't treat it as though  
22 it was a brand new fuel adjustment proceeding that you started  
23 all over in the middle of the term.

24 So, I mean, I think there is a question as to how you  
25 implement it, but I believe that from the beginning there was a

1 practicality concern about not letting the clause factor get  
2 too far out of hand and not making it so difficult for there to  
3 be a change that when you had substantial volatility you still  
4 couldn't do anything about it. So that is what I read your  
5 band, as being a way to say is it possible to address it so  
6 that there is some satisfaction about the reliability of  
7 numbers.

8 MR. VANDIVER: Would there be a prohibition on  
9 stacking or coming in and -- say if you came in in January with  
10 four percent, coming in May with a seven percent, would you  
11 limit the number of these--

12 MR. BOHRMANN: As this alternative is written, a  
13 party could request a change within the band. It would not --  
14 the band would not shift up or down with each change.

15 MR. VANDIVER: How many band changes can you request?

16 MR. McNULTY: The band isn't changing for the year.  
17 So if the band gives you a seven percent leeway up and you come  
18 in for four percent and then you want to come in for another  
19 four percent, that is eight percent.

20 MR. VANDIVER: And another four percent.

21 MR. McNULTY: Well, that's what I'm saying, that  
22 second four percent would kick you into an evidentiary hearing  
23 because then you are above the original band that was set for  
24 the year.

25 MR. VANDIVER: Okay.

1           MR. KEATING: And, Rob, I think that was one of the  
2 questions we still had if we did go with an approach like this,  
3 how many times, how often could something like this or should  
4 something like this be approved. Are there any other comments  
5 or thoughts on the second alternative? I guess the fact that  
6 this was the second alternative instead of the first really  
7 meant something this time.

8           MR. McNULTY: That's 2 we gave it to you, Cochran.

9           MR. KEATING: Thank you.

10          MR. BOHRMANN: Next on our --

11          MR. KEATING: Let's go ahead and take just a  
12 ten-minute break. I don't think we have too much more to go  
13 through. We have on our agenda presentation in the alternative  
14 proposals, the only one we received was from Florida Public  
15 Utilities Company, who I don't believe is represented here  
16 today. And then I would like to discuss briefly procedural  
17 matters going forward from here. So I think if we took a short  
18 break we could still be out of here easily before noon, well  
19 before noon.

20                   (Recess.)

21          MR. KEATING: Okay. Let's get started again. All  
22 that we have left on our agenda is discussion of any  
23 alternative proposals and any comments and feedback on  
24 alternative proposals and procedural matters. As I said before  
25 the break, the only alternative proposal we received is from



1 Florida Public Utilities Company, and I don't believe that they  
2 are here today. That proposal, and if you liked alternative  
3 two -- anyone? Anyone? -- you might like this one, too. It  
4 was to implement a cap similar to what is done in the purchased  
5 gas adjustment docket.

6           And all I can tell you about what is done in that  
7 docket and what they have set forth here is that the maximum  
8 factor is set and the gas companies can flex down from that  
9 rate as the gas market fluctuates throughout the year. But  
10 they can't go over that cap without seeking a midcourse  
11 correction. And I believe that that is just -- well, I know  
12 that it is not something that is approved by the Commission  
13 when they move underneath the cap. It's something that is sent  
14 to staff and I'm not sure even if administrative approval is  
15 given or exactly how that works.

16           But that is sort of the gist of Florida Public  
17 Utilities proposed alternative. And I don't know if anybody  
18 wants to make any comments on that at this time or if you would  
19 like to go forward. Okay.

20           Before we get to any procedural matters, I believe  
21 Mr. McNulty would like to float another idea based on some of  
22 the comments and feedback we received this morning.

23           MR. McNULTY: It's just a real simple change to what  
24 is alternative one. As regards Florida Power and Light's  
25 desire to go to a six month, if we were to have a semi-annual

1 hearing process set up, and sometimes going to that July factor  
2 may not be necessary if there isn't volatility that would be  
3 experienced by the utility. And perhaps you would know by  
4 March of each year whether or not you have experienced the  
5 level of volatility that is unacceptable and need to do  
6 something about.

7           By the same token, the Commission staff in monitoring  
8 the A schedules can look and see what that volatility is, as  
9 well, at least as has been experienced up to that point in  
10 time. It may not know what forecast -- new forecasts may be of  
11 things that are changing in the fuel arena specifically. But  
12 if, in fact, you know, if in March it did not appear as though  
13 there is a looming change, material change in what the fuel  
14 factor should be, maybe we could address some level of  
15 optionality in pursuing that hearing in the middle of the year.

16           And this is just something that kind of occurred to  
17 me while we were talking during the last session. We discussed  
18 it a little bit, so it's just kind of a new idea, but we didn't  
19 know if maybe you had considered that yourselves and how you  
20 might think about that and other parties might think about  
21 that.

22           MR. BEASLEY: This would be the other parties  
23 remaining status quo?

24           MR. McNULTY: Your alternative proposal, proposal  
25 three, yes, would be considered in considering that option.

1 And that's not to say that it couldn't be exercised, we  
2 couldn't look at exercising it for everyone where everyone  
3 would have the option of proceeding to a mid-year hearing if  
4 they so felt, or if the Commission staff -- I think it would  
5 have to be both ways, I would think, that the Commission staff  
6 would be able to --

7 MR. KEATING: And I think to pull something like that  
8 off, like Bill said, I think we would need to be notified if  
9 the options could be exercised early enough where we can set up  
10 time for a hearing process somewhere in the time that we  
11 currently have for the November hearing, say for a hearing in  
12 May. And perhaps we would go ahead and reserve a hearing date  
13 each year under that alternative.

14 So we would probably be looking at some sort of  
15 notification in late February, early March. And that is, you  
16 know, roughly about six months from when the projection  
17 testimony is filed for the November hearing. So, it sort of --  
18 so it would be based on the utility's knowledge roughly every  
19 six months.

20 MR. VANDIVER: Would you all set a firm date every  
21 year at which time the utilities would have to elect to pull  
22 the trigger as to make the election for the May hearing?

23 MR. KEATING: I think we would have to.

24 MR. McNULTY: And the five reasons for going to  
25 calendar year and annual hearing, one of them was

1 administrative efficiency. If we put the optionality feature  
2 in there, at least it gets back some of that for those years  
3 where an adjustment isn't necessary. Then we are not having a  
4 hearing just to find out that the factor isn't changing.

5 MR. KEATING: And hopefully --

6 MR. FLOYD: You definitely would have a hearing  
7 annually.

8 MR. KEATING: Yes. Everyone would have their  
9 November hearing.

10 MR. FLOYD: And you may have a brief one or a briefer  
11 one semiannually.

12 MR. McNULTY: Well, one for FPL or other utilities if  
13 they either petition for a hearing, I guess in March or  
14 whatever date is set up, or if the Commission staff brings a  
15 recommendation to the Commissioners which is approved for  
16 bringing a particular utility to a hearing.

17 MR. KEATING: And I think -- and Bill can correct me  
18 if I'm wrong -- I think the alternative that has been floated  
19 would still include an option for a midcourse correction, and  
20 hopefully with the option of a hearing every six months. If  
21 you got past, say, March 1st, if that was the trigger date, and  
22 you got a couple of months further into the year and saw that  
23 there may be a need for a midcourse correction, hopefully that  
24 midcourse correction wouldn't be as large as it otherwise would  
25 have been without that. If you had seen something large

1 coming, hopefully it was earlier in the year.

2 MR. McNULTY: That's what I had in mind. There is  
3 also -- I mean, again, I think some of the comments were maybe  
4 it's time for a six-month hearing. I think that comment by the  
5 Commissioners maybe was generic. And whether or not that  
6 should be applied to all utilities or not is something that we  
7 have to analyze, and I would think would make good material for  
8 comment and post-workshop comments is to say, to really kind of  
9 explain if you think for your particular utility that the  
10 six-month hearing is not appropriate, to really give your best  
11 defense on that.

12 MR. VANDIVER: I think I will go ahead and raise it  
13 now. Would the option be solely with the utility, or would it  
14 be for any party? For example, if the utilities did not  
15 believe it appropriate to come in, but if FIPUG, staff, or the  
16 Public Counsel were to say we believe it appropriate for --

17 MR. McNULTY: I would think that anybody could come  
18 in and make that request that is a party to the docket, and  
19 then I would assume that, again, it's getting into procedural,  
20 so I would check this with Cochran, but bring a PAA that would  
21 say is it appropriate to bring this to --

22 MR. VANDIVER: Yea or nay.

23 MR. McNULTY: Yes.

24 MR. KEATING: And there may be some similarity with  
25 the current midcourse correction procedures where in that case

1 once we are notified, and I'm trying to remember, I don't have  
2 that order with me, but there is some language in the order  
3 that allows any party, I believe, to request a hearing. And  
4 I'm not sure if that is after the point where the utility has  
5 notified the Commission that they have reached that ten percent  
6 threshold and whether or not they think they need a correction  
7 or not, or if that is -- or if that is at any other time. I  
8 believe it is after the point that the utility provides  
9 notification, the utility decides they don't need a midcourse  
10 correction. I believe the party has the option of requesting a  
11 hearing. But that is something that we would have to think  
12 about more and think about the details of.

13 MR. McNULTY: FPL.

14 MS. DUBIN: Then let me just make sure I understand  
15 this. You would set a factor, for example, at the November  
16 hearing for the year. And then in March or so you would come  
17 in and say we would like to have a hearing, and make a filing  
18 and have a hearing in May for a possible change July through  
19 December. So that you have the option to have a six month,  
20 it's just like an estimated actual true-up or something like  
21 that, midstream?

22 MR. BOHRMANN: Just my first thought about it is that  
23 the utilities would do exactly what they have been doing now in  
24 preparation of the November hearing. They would file all their  
25 E schedules for all 12 months of the year, and then if the

1 utility -- if the utility got to March 1st and said these rates  
2 no longer reflect, you know, costs to such an extent that we  
3 need a change in our rates effective July 1, then you would  
4 file E schedules for July through December. And then there  
5 would be a hearing about May 20th to set the factor for July 1  
6 through December 31st. If you decided that you could live with  
7 the factor for the rest of the year, then you would do nothing.

8 MR. BEASLEY: What if you get to August or July or  
9 June?

10 MR. BOHRMANN: You would still have a midcourse at  
11 your discretion.

12 MR. McNULTY: I guess what this would really  
13 highlight if we went with something like that, you know, people  
14 would say, well, what is the difference between a midcourse  
15 and --

16 MR. FLOYD: That's what I was going to ask.

17 MR. McNULTY: And, I mean, that is the obvious issue  
18 that would arise there. And I think that, you know, well, FPL,  
19 you are a proponent of the six month, and I guess that may be  
20 partly because it has a greater level of analysis and,  
21 therefore, staff and the Commission is more behind the ultimate  
22 decision, there isn't the discussion that says the prudence of  
23 this will be reviewed in six to nine months. There is more  
24 support from the Commission behind that kind of decision. And  
25 I would assume that that is of some value, but I will leave it

1 to you to comment on that.

2 MR. KEATING: And I would add, I think that would  
3 address some of the concern that the Commissioners had, which I  
4 read from their comments to be a concern with what we see in  
5 the last couple of years with midcourse corrections where we  
6 didn't have an evidentiary hearing. And I'm sure that the  
7 magnitude of those midcourse corrections had something to do  
8 with their concern, but that they would be more comfortable  
9 with doing it in an evidentiary proceeding.

10 MR. FLOYD: Could I ask Kory or Matt one, maybe Matt,  
11 is it true that a utility can petition for a midcourse  
12 correction at any time regardless of how much -- how far off  
13 the projections are? In other words, it doesn't have to be  
14 over ten percent as I understand. And, Cochran, maybe you  
15 know, or one of the lawyers here, if it were eight percent and  
16 you felt like that was the best thing to do for your  
17 ratepayers, you could come in and petition to have a change,  
18 right, but you are required to let us know if it is more than  
19 ten percent. Is that the status of things or not?

20 MR. CHILDS: That is what I understand. Plus, I  
21 mean, when it was first discussed there was a recognition that  
22 you may find out that it is ten percent with a six-month  
23 clause. You may find that out in month four. So you may be in  
24 the situation where technically you have a variation, but  
25 you're probably not going to do much about it.



1 MR. FLOYD: Right. So what I was wondering --

2 MR. CHILDS: People didn't do it. The point was that  
3 I think that the ten percent was considered as somewhat of a  
4 threshold. It didn't have to be ten percent, but it sure  
5 wasn't two percent.

6 MR. FLOYD: Right.

7 MR. CHILDS: You didn't come in with a two percent  
8 change and ask for a change in the factor.

9 MR. FLOYD: Well, what I was wondering 2 is why  
10 doesn't the annual -- the status quo give you the flexibility  
11 that you need now. In other words, you can come in if you see  
12 things are getting out of line and without having to have a --

13 MR. CHILDS: I think we would like to think through  
14 that a little more and comment on it. One of the things that  
15 is sort of a personal reaction was that, well, I think there is  
16 potentially some benefit knowing that you are on -- first of  
17 all, you are going to be forecasting for a year and then you  
18 are going to be trying to monitor and have been some sort of a  
19 procedure in place that you are going have to make an election,  
20 and if so, go forward with it.

21 You know, one of the things that is a practical  
22 problem is that when you file for midcourse there is the  
23 question of how much, you know, how much time do we have in  
24 putting the data together, and how much certainty do we have to  
25 have, and, gee, if we wait another week to be sure about this,

1 that, or the other thing. And so it strikes me that there is  
2 some benefit of having a schedule that tells you what you can  
3 look to.

4 MS. DUBIN: Also notification to customers, those  
5 types of things.

6 MR. CHILDS: But my thought was it was a helpful  
7 suggestion, and we would like to kick it around and certainly  
8 will comment on it.

9 MR. KEATING: The option that was just brought up?

10 MR. CHILDS: Right.

11 MR. KEATING: And I don't want to cut off any  
12 discussion on that option before we went forward, so I would  
13 ask if anybody else had any other comments to make on that or  
14 if you would just address it since it has just come up today,  
15 if you would just like to address it in any post-workshop  
16 comments that you might file? Well, I guess we are on to  
17 the -- getting to the end.

18 On the procedural matters, in our May 25th  
19 memorandum, I think it's at the bottom of the front page, we  
20 said that we intend to file a recommendation in the fuel docket  
21 regarding changes, if any, that come out of this workshop.  
22 What we would like to do is once we get post-workshop comments,  
23 and this is a tentative schedule at this point, would be to try  
24 to get to the August 14th agenda for a PAA decision.

25 Perhaps between now and then we can -- perhaps there

1 will be some agreement on a way to go forward, and we could  
2 present it as such. But what I would like to try to do is to  
3 have the matter resolved at least as proposed agency action in  
4 time so that any protest of what the Commission might approve  
5 could be addressed in the November fuel hearing.

6 Now, to do that, I realize we would have to get to  
7 get any order out fairly quickly after the October 14th agenda  
8 to allow 21 days to run for a protest and to allow, if there is  
9 a protest, at least a couple of weeks for the parties to  
10 address it in their September 20th testimony, if they wish to  
11 address it. So it is a little more aggressive schedule than I  
12 think we originally thought when we put our intentions in this  
13 memorandum of having the protest heard during the fuel hearing  
14 this November, and it is still tentative. That is how we would  
15 like to try to go forward, though. I don't know if there is  
16 any other thoughts on that process.

17 MR. CHILDS: You have the 8/14 agenda, which means  
18 you need our comments before --

19 MR. KEATING: I believe we have asked for comments  
20 by -- post-workshop comments by July 13th. So we would be  
21 filing a recommendation on August 2nd, I believe. I believe  
22 there is an agenda the week before which would give us a little  
23 more time on the tail end, but I don't know that we -- after  
24 reviewing the various vacation schedules for some of the folks  
25 sitting 3 here, August 14th may be as aggressive as we can be

1 hopeful for. But if we can, obviously we would try to get  
2 something on an earlier agenda.

3 Well, with that I guess we can close. I would ask  
4 staff, Bill and Todd, if they have any other comments, or the  
5 parties if they have any other comments? Okay. And I will  
6 take the opportunity that I may never get to take again to bang  
7 the gavel and adjourn the workshop.

8 (The hearing concluded at 11:30 a.m.)

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 STATE OF FLORIDA )

2 :

CERTIFICATE OF REPORTER

3 COUNTY OF LEON )

4

5 I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter  
6 Services, FPSC Division of Commission Clerk and Administrative  
7 Services, do hereby certify that the foregoing proceeding was  
8 heard at the time and place herein stated.

9

10 IT IS FURTHER CERTIFIED that I stenographically  
11 reported the said proceedings; that the same has been  
12 transcribed under my direct supervision; and that this  
13 transcript constitutes a true transcription of my notes of said  
14 proceedings.

15

16 I FURTHER CERTIFY that I am not a relative, employee,  
17 attorney or counsel of any of the parties, nor am I a relative  
18 or employee of any of the parties' attorney or counsel  
19 connected with the action, nor am I financially interested in  
20 the action.

21

DATED THIS 5th day of July, 2000.

22

23



24

25  
\_\_\_\_\_  
JANE FAUROT, RPR  
Chief, Bureau of Reporting  
FPSC Division of Records and Reporting  
(850) 413-6732

26

27

28

29

30

31

32

33

34

35