

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 000075-TP (PHASE II)

In the Matter of

INVESTIGATION INTO APPROPRIATE
METHODS TO COMPENSATE CARRIERS
FOR EXCHANGE OF TRAFFIC SUBJECT
TO SECTION 251 OF THE
TELECOMMUNICATIONS ACT OF 1966.



ELECTRONIC VERSIONS OF THIS TRANSCRIPT
ARE A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING
AND DO NOT INCLUDE PREFILED TESTIMONY.

VOLUME 2

Pages 182 through 375

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN E. LEON JACOBS, JR.
COMMISSIONER J. TERRY DEASON
COMMISSIONER LILA A. JABER
COMMISSIONER BRAULIO L. BAEZ
COMMISSIONER MICHAEL A. PALECKI

DATE: Thursday, July 5, 2001

TIME: Commenced at 1:00 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services

Appearances: (As heretofore noted.)

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION 08861 JUL 20 2001

FPSC-COMMISSION CLERK

I N D E X

WITNESSES

NAME:	PAGE NO.
JOHN RUSCILLI	
Cross Examination by Mr. McDonnell	185
Cross Examination by Mr. Moyle	185
Cross Examination by Mr. McGlothlin	189
Cross Examination by Mr. Melson	193
Cross Examination by Ms. Keating	203
Redirect Examination by Mr. Edenfield	225
Recross Examination by Mr. McGlothlin	239
Further Redirect Examination by Mr. Edenfield	240
WILLIAM E. TAYLOR	
Direct Examination by MR. Edenfield	244
Prefiled Rebuttal Testimony Inserted	246
Cross Examination by Mr. Lamoureux	268
Cross Examination by Mr. Moyle	270
Cross Examination by Mr. Melson	270
HOWARD LEE JONES	
Prefiled Direct Testimony Inserted	278
ELIZABETH A. GEDDES	
Prefiled Direct Testimony Inserted	288
EDWARD C. BEAUVAIS	
Direct Examination by Ms. Caswell	301
Prefiled Direct Testimony Inserted	303
Prefiled Rebuttal Testimony Inserted	320
Cross Examination by Mr. Lamoureux	339
Cross Examination by Mr. Hoffman	346
Cross Examination by Mr. Moyle	359
Cross Examination by Mr. Melson	362
Cross Examination by Ms. Keating	364
Redirect Examination by Ms. Caswell	372

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS

NUMBER:		ID.	ADMTD.
12	Excerpts of FCC Rules and Orders	198	241
11			241
13	HLJ-3 through HLJ-6	277	277
14	ECB-2	302	374
15	ECB-3	302	374
	CERTIFICATE OF REPORTER		375

P R O C E E D I N G S

JOHN A. RUSCILLI

1
2
3 examination continues as follows:

CROSS EXAMINATION

BY MR. McDONNELL:

4
5
6 Q After your summary, Mr. Ruscilli, I thought I was
7 clear and maybe I'm not clear about who is or who is not
8 entitled to the tandem rate. So I will just give you a
9 hypothetical, if I could.

10 If I am an ALEC that serves a comparable geographic
11 area to your tandem switch, whatever that comparable geographic
12 area test is, am I entitled to the tandem interconnection rate?

A Yes.

MR. McDONNELL: Okay. That's all I have. Thank you.

THE WITNESS: Thank you.

CHAIRMAN JACOBS: Mr. Moyle.

MR. MOYLE: I just have a couple of questions.

CROSS EXAMINATION

BY MR. MOYLE:

19
20 Q You have talked a lot about the FCC's rules, and I
21 have heard you reference court opinions and whatnot, but what
22 is your understanding of the FCC's current rules with respect
23 to the obligation of an interconnecting ALEC to provide more
24 than one point of interconnection per LATA?

A The rules that the FCC has issued today where it has

1 rendered opinions in Texas, in Oklahoma, Kansas, 271 would be
2 examples, and also as Mr. Lamoureux brought up in the notice of
3 proposed rulemaking is that the ALECs have the right to
4 establish a point of interconnection inside a LATA and it could
5 be a point or they could choose multiple points.

6 Q Okay. And what is your understanding of the FCC's
7 current rules with respect to whether an originating
8 telecommunications carrier is responsible for the cost of
9 transporting traffic to the point of interconnection with a
10 terminating carrier?

11 A That the obligation is on the originating carrier to
12 get that traffic to the POI. But remember even the Eighth
13 Circuit Court last year in July talked about the fact that --
14 it states exactly that ALECs or CLECs can put a POI in place to
15 compete in the local network. And if of the POI is not in the
16 local network where the ALEC is competing, then there are
17 additional costs that are associated with that. And that's why
18 we are saying we want those costs recovered.

19 Q Okay. You all had a lot of questions back and forth
20 about these basic local calling areas. Would it be a correct
21 statement to say that the number of basic local calling areas
22 that BellSouth has makes a difference with respect to the
23 amount of revenue that it would expect to receive?

24 A Generally, yes, sure. I mean, you know, if we have a
25 lot of local calling areas, we would get a lot of revenue. If

1 we had a few, we would get few.

2 Q So the more local calling areas you have the more
3 revenue you would receive?

4 A I might be misunderstanding your line of questioning.
5 Are you talking about with respect to the burden of this leg
6 between --

7 Q Yes.

8 A Then let me correct that. I thought you were just
9 talking about money that we got from our local customers.
10 Could you go back and ask the first question again so I can be
11 more precise on the second one.

12 Q Well, I guess I was kind of -- the way I understood
13 you all's description with respect to these local call areas,
14 that the more local calling areas you have that would generate
15 more revenue from you. Is that generally a correct
16 understanding?

17 A Well, again, from our local customers it would
18 generate more revenue if we had a lot of local calling areas.
19 But with respect to the issue at hand, if we had a number of
20 local calling areas and you, as an ALEC, were competing in
21 those local calling areas, once you got up to that threshold of
22 traffic which by definition would suggest you have got probably
23 five to 10,000 customers to generate that level of traffic,
24 then you would have to pay or install another POI in that
25 particular area.

1 Would it be more revenue to us? Yes, but we are
2 doing a whole lot more work. We are moving your traffic from a
3 local calling area where we would have never moved that traffic
4 before. And we are willing to meet you more than halfway on
5 this.

6 Q But if you are putting an obligation on me where I
7 have to get up to that certain level, wouldn't it be harder for
8 me to meet that obligation if you had more and smaller local
9 calling areas?

10 A Yes. But that would sort of be a windfall for you.
11 Because, I mean, if there are small local calling areas out
12 there, and I'm sure you will be successful, but you have to
13 have a lot of those customers in that calling area before you
14 have to pay us a dime.

15 Q How many local -- did I understand you don't know how
16 many local calling areas that BellSouth has in Florida?

17 A Off the top of my head, I sure don't.

18 Q Do you have a ballpark?

19 A I thought we said a couple of hundred, but I
20 apologize, I really don't know.

21 Q And you referenced an Illinois case, I think, in some
22 of your responses to counsel for AT&T. Do you know what the
23 status of that case is now? Is that on appeal?

24 A Is this the tandem case?

25 Q Right.

1 A I don't know what the status is.

2 MR. MOYLE: Okay. I have nothing further.

3 CHAIRMAN JACOBS: Mr. McGlothlin.

4 CROSS EXAMINATION

5 BY MR. MCGLOTHLIN:

6 Q Mr. Ruscilli, my name is Joe McGlothlin, I represent
7 the Florida Competitive Carriers Association.

8 A Good to meet you, sir.

9 Q I have a few questions on the area of your testimony
10 that addresses IP Telephony.

11 A Okay.

12 Q If you have that available to you, would you turn to
13 Page 48 of your prefiled testimony.

14 A Yes, sir.

15 Q Beginning at Line 14, you quote from the FCC's April
16 1998 report to Congress. Beginning with the words "the
17 record," would you read the quotation that begins on Line 14?

18 A Certainly. And there is an ellipses here where we
19 have cut a little out, but it says, "The record suggests
20 Phone-to-Phone IP Telephony services lack the characteristics
21 that would render them information services within the meaning
22 of the statute, and instead bear the characteristics of
23 telecommunications service." Is that all you wanted me to
24 read?

25 Q Yes.

1 A Okay.

2 Q And further on the same page beginning at Line 20,
3 you state, "Thus, IP Telephony is telecommunications service,
4 not information or enhanced service." Now you base that
5 conclusion in part on the statement by the FCC in its report to
6 Congress, am I correct?

7 A Yes, I did. In the report on the universal service
8 fund, which is where we are quoting from, this April 10th
9 report, and to paraphrase it, if it walks like a duck and
10 quacks like a duck, it's a duck.

11 Q And the significance is that access charges do not
12 apply to information services, correct?

13 A Yes, access charges do not apply in the current form.
14 The information service providers can buy either out of the
15 access tariff or the local tariff, but they are also
16 responsible for the federal access charges associated with
17 subscriber line charge and things like that.

18 Q Now, as it develops the FCCA's witness, Joseph
19 Gillan, in his prefiled testimony also quoted from this same
20 report to Congress. And I would like to refer the
21 Commissioners and parties to Page 9 of Mr. Gillan's prefiled
22 testimony, which is the subject of a stipulation, the parties
23 have stipulated that it may be entered into the record without
24 his appearance. Do you have that available to you, sir?

25 A I was looking for it and I don't see it. If you

1 could hand me a copy, I would appreciate it, sir. Or I will
2 let you read it and I will take it from there.

3 Q All right. I will hand it to you in a moment. But
4 for purposes of framing the question, I will just represent to
5 you that Mr. Gillan quotes from the same area of the report.
6 Now, you indicated a moment ago that there were some words
7 omitted. I am just going to hand you a copy.

8 Looking at the bottom of Page 9, would you agree that
9 the first ellipses there reflects that the words "currently
10 before us" were omitted in your version?

11 A Yes.

12 Q And would you agree that the second phrase deleted
13 were "that certain"?

14 A Yes.

15 Q Would you read for us your statement with those words
16 reinserted, please?

17 A Okay. And actually I could -- if it is okay with
18 counsel, just read from Mr. Gillan's testimony. It's the same.

19 Q Okay.

20 A It says this -- this is Paragraph 83 on the Report to
21 Congress. "The record currently before us suggests that
22 certain Phone-to-Phone IP Telephony services lack the
23 characteristics that would render them information services
24 within the meaning of the statute, and instead bear
25 characteristics of telecommunications services."

1 Do you want me to continue?

2 Q Well, that is my next question. Mr. Gillan also
3 continued with the next statement contained in the Report to
4 Congress that does not appear in your quotation. Would you
5 read that for us, please?

6 A Sure. Continuing with that same paragraph from the
7 same ordering Paragraph 83, "We do not believe, however, that
8 it is appropriate to make any definitive pronouncements in the
9 absence of a more complete record focused on the individual
10 service offering."

11 Q So my last question is this, would you agree that
12 your statement, "Thus, IP Telephony is telecommunications
13 service," would you call that a definitive pronouncement?

14 A I believe in my testimony, as I say, that IP
15 Telephony is, in fact, just telephone under a different kind of
16 technology. The FCC recognized that there was nothing in there
17 but making a telephone call. But the FCC refused because it
18 wanted to create a body of evidence for more information on the
19 types of IP Telephony services before it made a final ruling.
20 But strictly Phone-to-Phone IP Telephony, the FCC couldn't have
21 been more clear, it lacks all the characteristics of being an
22 information service. They have just declined to further, you
23 know, make a decision until the record was complete.

24 Q Well, to be precise, sir, what they said was that the
25 record before them suggested that certain services exhibited

1 those characteristics, am I correct?

2 A Yes. And that is correct.

3 Q Thank you, sir.

4 A Okay. I was going to say just for illustration there
5 is some Phone-to-Phone IP Telephony that go over the worldwide
6 web because one phone is hooked up to a computer, and another
7 phone is hooked up to a computer, and those are some of the
8 exceptions. But there are other carriers that just use packet
9 switches that use internet protocol to transmit rather than
10 circuit protocol, and that is voice. That is local exchange.
11 Or, excuse me, that is long distance traffic.

12 MR. MCGLOTHLIN: That is all the questions I have.

13 CHAIRMAN JACOBS: Mr. Melson.

14 CROSS EXAMINATION

15 BY MR. MELSON:

16 Q Mr. Ruscilli, Rick Melson representing MCI WorldCom.
17 I've got just a few questions for you.

18 A Good afternoon, sir.

19 Q In the first one, I frankly am still a little
20 confused about what BellSouth's current position is on Issue
21 12A, and that is the issue under what conditions, if any, is an
22 ALEC entitled to be compensated at the ILEC's tandem
23 interconnection rate. If I understand correctly, your
24 testimony was that there was a two-pronged test, an ALEC had to
25 prove both geographic comparability and similar functionality,

1 correct?

2 A Correct.

3 Q I believe you stated in your summary that it appears
4 the FCC has now stated that it is an either/or test, and that
5 an ALEC would be entitled to receive compensation if it proved
6 only geographic comparability. Did I understand your summary
7 correctly?

8 A I don't remember saying an either/or test in my
9 summary. But the FCC in the notice of proposed rulemaking
10 addressed that issue in Paragraph 105, recognizing there was
11 some confusion on is this a functionality or geographic test,
12 and then came forth with language that said, you know,
13 consistent with what is in the CFR on the same issue, that
14 geographic coverage is the requirement to receive tandem
15 switching.

16 Q Okay. As a result of that, is BellSouth changing its
17 position in this proceeding and is BellSouth now saying we
18 concede that geographic comparability is enough, or is
19 BellSouth still maintaining that an ALEC would have to show
20 geographic comparability and similar functionality?

21 A For purposes of this proceeding, I think maybe the
22 one before this proceeding in this state, and in other states
23 BellSouth is recognizing that the FCC has said it is a
24 geographic test. BellSouth still believes it is a two-pronged
25 test, and that the language in Paragraph 1090 of the First

1 Report and Order suggests that. But the FCC has been very
2 clear in what they have said at this point in time. So it is a
3 geographic test.

4 Q And so at least from BellSouth's position, if
5 BellSouth were the only other party in this case beside
6 WorldCom, we could stipulate today that an ALEC is entitled to
7 be compensated at the ILEC's tandem interconnection rate if its
8 network serves a geographic area comparable to that served by
9 BellSouth's tandem?

10 A Absolutely, subject to a showing to the Commission
11 that you do that.

12 Q And you talked a little bit with Mr. Lamoureux about
13 the showing to the Commission and the test. Would you agree
14 with me that it is important for the Commission to establish a
15 bright line test in this proceeding so that the parties know
16 the standard that they are going to have to meet in terms of
17 geographic comparability?

18 A I would agree that the Commission should establish
19 some sort of test. Bright line, I don't know. I think each
20 ALEC is a little different in how they serve the marketplace,
21 and so it might be a little complex to do it that way. But I
22 believe the Commission should set forth a test.

23 Q Let me ask this: If the Commission sets forth a test
24 that leaves room for interpretation, would you expect that
25 BellSouth and each ALEC individually would be able to agree on

1 how that test applies to the particular ALEC, or would you
2 likely see disputes?

3 A I would hope that we would not get to a dispute basis
4 on it. I would hope the language would be precise enough.

5 Q So to the extent the more precise the Commission can
6 be, the more likely that an ALEC and BellSouth would be able to
7 agree on how that language is applied?

8 A I agree.

9 Q And the less clear that test is, the more likely that
10 disputes would get brought back to this Commission for
11 resolution on a case-by-case basis?

12 A That seems reasonable.

13 Q I want to turn for a minute to Issue 14, which is the
14 issue that is raised by the first diagram, I believe, up here.

15 A Yes, sir, the point of interconnection.

16 Q The point of interconnection. In response to a
17 question a few moments ago by Commissioner Deason, he asked
18 what happens if a BellSouth customer in local calling area one
19 calls an AT&T customer in local calling area two. Do you
20 remember that question?

21 A Yes.

22 Q I believe you assumed an example in which WorldCom
23 was the presubscribed carrier, is that right?

24 A Yes.

25 Q What if BellSouth was the presubscribed carrier for

1 that intraLATA toll call, what would happen in that situation?

2 A BellSouth would bill a toll charge to its end user
3 based on -- well, let's assume it is intraLATA, since we don't
4 have interLATA authority yet, and BellSouth would deliver the
5 call to the calling area number two if BellSouth was the
6 carrier.

7 Q And if it is an AT&T end user in calling area two,
8 does BellSouth pay any compensation to AT&T?

9 A Yes.

10 Q And what is that compensation?

11 A Depending on the contract. I think some ALECs have
12 negotiated it as reciprocal comp across the board and other
13 ALECs have chosen access.

14 Q And I believe you also indicated in response to some
15 questions by Mr. Lamoureux that BellSouth offers a LATA-wide
16 calling option in its tariff, is that correct?

17 A That is correct.

18 Q And if BellSouth offered a LATA-wide calling option,
19 then that call -- how would that call from a BellSouth customer
20 in local calling area one to an AT&T customer in local calling
21 area two be compensated?

22 A Well, the end user would not be paying a per minute
23 charge for the toll call, they would be paying the additional
24 flat rate charge for the expanded local calling area. And the
25 compensation on the other end, again, would be based on the

1 contract between -- the interconnection agreement between the
2 two companies, whether it would be reciprocal comp or access.

3 Q We have had a lot of discussion today about the FCC
4 rule on compensation for originating traffic, and the Texas
5 order, and the Kansas/Oklahoma order, and the NPRM, and that
6 has been done at least, I think, without the Commissioners
7 having the benefit of that language in front of them. I would
8 like to hand out excerpts from the rule and from those two
9 orders and ask you a few questions on those.

10 A Certainly. Is there a particular point you want me
11 to go to?

12 Q No, I will walk you through as soon as the
13 Commissioners have copies.

14 A Okay.

15 MR. MELSON: And, Commissioner Jacobs, could I have
16 this marked as Exhibit 12 for identification?

17 CHAIRMAN JACOBS: Very well. Show it marked as
18 Exhibit 12.

19 MR. MELSON: We can call it excerpts of rule and
20 orders.

21 (Exhibit 12 marked for identification.)

22 BY MR. MELSON:

23 Q And just so I'm clear on -- before we start looking
24 at language, so I'm clear with BellSouth's position, in this
25 example of a call from a BellSouth customer in local calling

1 area one to an AT&T local customer in calling area one that
2 goes through an AT&T point of interconnection in local calling
3 area two, it is BellSouth's position that subject to your
4 compromise proposal that was put forward in your rebuttal
5 testimony, if there is a sufficient volume of traffic AT&T
6 would be required to supply the facility between local calling
7 area one and the point of interconnection for that local
8 traffic, is that correct?

9 A That is correct, or they could establish a POI.

10 Q All right. They could establish a second point of
11 interconnection in local calling area one?

12 A That is correct, yes, sir.

13 Q And with regard to the compromise, just to be clear,
14 that was not in your original direct testimony, was it?

15 A No, I believe it was in my rebuttal.

16 Q In your rebuttal testimony. All right. Would you
17 look at the FCC's Rule 51.703(b), and this is the rule that we
18 have been talking about as the source from the ALECs' point of
19 view of BellSouth's requirement to deliver the traffic to the
20 ALECs' point of interconnection, is that correct?

21 A That is correct.

22 Q Okay. Would you read that to us?

23 A Sure. 51.703, reciprocal compensation obligations of
24 LECs, and this is Item B. "A LEC may not assess charges on any
25 other telecommunications carrier for local telecommunications

1 traffic that originates on the LEC's network."

2 Q And in the case of a call from a BellSouth customer
3 in local calling area one to an AT&T customer in local calling
4 area one, that is local telecommunications traffic?

5 A Yes. It originates and terminates in the same local
6 calling area.

7 Q And it originates on the LEC's network?

8 A Correct.

9 Q Could you turn -- the next item in this is the FCC
10 order in the Kansas/Oklahoma 271 proceeding. And I have
11 included at Pages 3 through 5 of the document excerpts from the
12 discussion of technically feasible point of interconnection.

13 A Okay. Your number is on the bottom right corner, I'm
14 sorry.

15 Q Yes, sir. If you would turn to Page 5, and you would
16 agree with me that under the FCC's rules the ALEC, AT&T in this
17 instance, is entitled to establish a single point of
18 interconnection per LATA?

19 A Yes.

20 Q All right. Would you read me the sentence that is
21 bracketed in the middle of Paragraph 235. It begins with nor.

22 A "Nor did our decision to allow a single point of
23 interconnection change an incumbent LEC's reciprocal
24 compensation obligations under our current rules." Should I
25 continue to the next sentence, also?

1 Q Yes, please.

2 A I'm sorry. "For example, these rules preclude an
3 incumbent LEC from charging carriers for local traffic that
4 originates on the incumbent LEC's network."

5 Q And finally would you turn -- we have also talked
6 today about the notice of proposed rulemaking on intercarrier
7 compensation that was issued in April of this year. Would you
8 turn to Page 8 of the Exhibit 12, which I guess is Paragraph
9 112 of that order, and read to me the sentence at the top of
10 the page?

11 A And it starts with the word our?

12 Q Yes, sir.

13 A "Our current reciprocal compensation rules preclude
14 an ILEC from charging carriers for local traffic that
15 originates on the ILEC's network." But for the balance of this
16 paragraph they talk precisely about this issue that we are
17 talking about here, and they have got a notice of the proposed
18 rulemaking they want comments on this. So the FCC is
19 recognizing this is a problem. The Oregon court recognizes
20 this is a problem. And we are trying to offer a very good
21 solution to it.

22 Q Is it fair to say the FCC recognizes it as an issue
23 that they are in the process of readdressing?

24 A Well, yes, it is fair to say that, but they also
25 recognize in the First Report and Order where MCI offered an

1 option of interconnecting networks, and they said -- they
2 deferred to the states. And they said that of course they can
3 have one point of interconnection, but this kind of thing needs
4 to be referred to the states. And that's why we are here
5 today.

6 Q Well, let me ask this. Everything we have looked at
7 here today, the Kansas/Oklahoma order and the notice of
8 proposed rulemaking come significantly later in time than the
9 First Report and Order, is that correct?

10 A Yes.

11 Q The First Report and Order was 1996?

12 A That is correct.

13 Q And we are now looking at FCC decisions in the year
14 2001?

15 A That is correct.

16 Q And while the FCC is readdressing the issue of what
17 compensation should apply, would you agree me that they are
18 very clear in both of these orders that their current rules,
19 current rules preclude an ILEC from charging carriers for local
20 traffic that originates on the ILEC's network?

21 A Yes. I think the area of confusion is, is it on the
22 local network or not? And the reason why I bring this up is
23 because when there was confusion on the tandem charge on
24 whether or not it was a functionality test or a geographic
25 test, the FCC very clearly came out and said it is a test of

1 geographic coverage. Here they have the opportunity to say
2 that as far as the financial burden, recognizing that this is
3 not set up the way it is equitable to all carriers, they said
4 nothing.

5 Q So you don't take a statement that our current rules
6 preclude charging as a clear statement by the FCC?

7 A It is a clear statement. I think the ambiguity
8 associated with it is that most of the times when you are
9 talking about interconnection, even in the court orders, it is
10 local interconnection with the local BOC network. And this is
11 not in the local BOC network, it's in another one.

12 MR. MELSON: That's all I have got. Thank you.

13 CHAIRMAN JACOBS: Staff.

14 MS. KEATING: Thank you, Mr. Chairman.

15 CROSS EXAMINATION

16 BY MS. KEATING:

17 Q Good afternoon, Mr. Ruscilli. I am Beth Keating and
18 I will be asking you actually several questions on behalf of
19 Commission staff.

20 A Good afternoon.

21 Q But you will be pleased to know that I don't have any
22 questions on 12A.

23 A It's the only one I know anything about.

24 Q I would like to start out first by talking about the
25 definition of local calling areas and the responsibilities of

1 carriers to compensate for transport of calls.

2 A Okay.

3 Q And the first thing I would really like to hit on is
4 an example that you used in your prefiled direct testimony.
5 And this was starting at Page 16. And I believe Mr. Lamoureux
6 actually touched on this a little bit. There you discuss the
7 exchange of traffic between the Jacksonville local calling area
8 and the Lake City local calling area.

9 A Yes. Are you reading from Lines 13 forward?

10 Q Yes.

11 A Okay.

12 Q Now, correct me if I have misunderstood your use of
13 this example, but it seems to me that you are using this
14 example to highlight the costs that BellSouth would incur if
15 required to haul the traffic from an ALEC customer in one local
16 calling area back to the POI of the ALEC in another calling
17 area and then send it back to the ALEC's customer in the
18 original local calling area. Is that correct?

19 A That is correct.

20 Q And the Lake City and Jacksonville local calling
21 areas, they are not contiguous, are they?

22 A No.

23 Q And so it looks to me like you are using this example
24 to really highlight the fact that the traffic would have to be
25 hauled further, therefore, it would be -- you would incur

1 additional costs, am I understanding this correctly?

2 A That is exactly right. You know, you could have as
3 much as 150 miles between local calling areas, where a POI
4 might be and an ALEC's customer might be. And the concern is
5 having to haul the traffic that distance, first. And then
6 secondly the concern is the facilities we have between those
7 two locations were never designed or engineered to be
8 transporting local traffic. They were designed and engineered
9 to be handling toll traffic. So we would have
10 under-engineered, possibly, some of those facilities.

11 Q Well, let me ask you this, and I believe that Mr.
12 Moyle and Mr. Lamoureux also asked you this question, whether
13 you know how many local calling areas BellSouth has in the
14 State of Florida?

15 A I am embarrassed. I'm sorry, I don't know the exact
16 number.

17 Q Would you accept, subject to check, that it is 102?

18 A That's fine.

19 Q And in how many of the LATAs in which BellSouth is
20 the incumbent local exchange carrier in Florida is a single
21 local calling area geographically not contiguous to another
22 local calling area, and that is where BellSouth is the
23 incumbent?

24 A Yes. We do have some contiguous local calling areas.
25 And what you will see is sort of a stair-stepping effect where

1 somebody say that the southern end of a local calling area can
2 call inside their local calling area, and somebody at the
3 northern end might can call over to the other local calling
4 area and call here, but the guy in the south couldn't talk to
5 the person in the north as a local call. So, sometimes they
6 are contiguous in the larger cities, larger areas where you
7 have a dense cluster of cities like in the southeast LATA, but
8 in most places they are not.

9 Q But do you know a specific number of how many of
10 BellSouth's local calling areas are not contiguous?

11 A No, I don't. I would imagine they would be the
12 majority, though.

13 Q Would you accept, subject to check, that the number
14 is actually two, and that Lake City is one of them?

15 A I will take that subject to check. Obviously I was
16 wrong in my interpretation of the majority.

17 Q So would you agree that actually by using this
18 example it is a fairly unique situation in BellSouth's
19 territory?

20 A In the State of Florida, yes. In our other states,
21 more rural, no.

22 Q Now, as for the calling --

23 A But may I make a comment. If you have got the
24 Tallahassee local calling area and the Lake City local calling
25 area, they are not contiguous to each other, and AT&T could

1 have a switch here in Tallahassee and begin to serve customers
2 in Lake City. We would still have the same problem. It
3 doesn't mean they have to be next door to each other, it just
4 depends on where they put their switch and what local calling
5 areas they fan out to that are away from that switch.

6 Q But in situations where -- well, let me ask this
7 question. But BellSouth can't carry traffic across a LATA,
8 correct?

9 A At this point, no. We hope to soon.

10 Q So, if you had a concern about a POI in, say, one
11 local calling area in one LATA and an ALEC customer in a whole
12 another LATA, that is actually another problem, isn't it?

13 A Yes. But this problem, depending on how the
14 resolution of this occurs, could actually create a worse
15 problem. And let me use the example that I used with Mr.
16 Lamoureux in Louisiana. They may decide they want to serve all
17 of New Orleans with that switch in Missouri. And if we have
18 interLATA and, therefore, interstate authority, AT&T could
19 argue you have got to bring it all the way up here to Missouri
20 to complete these calls.

21 Now that is really a farfetched extreme example, but
22 that could occur. Or worse yet, look inside the single State
23 of Florida. They could put one switch and say bring everything
24 to me, bring everything from Miami up to Tallahassee and then
25 we will ship it back down to Miami. And we just didn't design

1 our network to do local traffic that way, and those are costs
2 we would never incur.

3 Q But right now that is not a problem that the
4 Commission is being asked to address, correct?

5 A Today it is just within the LATA, but the
6 Commission's decision is going to effect when we get interLATA
7 relief, which we hope is shortly.

8 Q Well, as to the calling areas themselves, looking in
9 your direct testimony at Page 16, starting with Lines 19 and
10 going through 24?

11 A Yes.

12 Q You indicate that BellSouth's local calling areas
13 were defined by this Commission or by BellSouth with approval
14 of this Commission, correct?

15 A That is correct.

16 Q Do you know when those local calling areas were
17 defined?

18 A No, I don't.

19 Q Would it be fair to say that in all likelihood most
20 of BellSouth's local calling areas were defined prior to the
21 Telecommunications Act of 1996?

22 A Yes, that is a fair statement.

23 Q To your knowledge were any of those calling areas
24 defined for purposes of interconnection with competitive local
25 exchange companies?

1 A Not to my knowledge. I don't know one way or the
2 other.

3 Q And to your knowledge were those local calling areas
4 defined for the purposes of delineating between local exchange
5 service and intraLATA toll service in order to bill BellSouth
6 customers?

7 A Could you repeat that one more time.

8 Q To your knowledge, was the purpose of defining the
9 local carriers -- I mean, local calling areas to delineate
10 between local exchange service and interLATA toll service?

11 A I wouldn't say that that was the only primary cause.
12 Local communities serve as sort of a basis on what you want to
13 determine is a local call, and so you look at a community of
14 interest and that sort of defines the boundary. And then you
15 have long stretches of highway with few houses that are really
16 not in a community until you get to the next town or city which
17 sort of defines the next local calling area. So it is not the
18 primary thing to determine what is intraLATA toll, it was also
19 based on the community of interest to the cities.

20 Q But for the most part they weren't really defined to
21 address competitive issues, is that correct?

22 A I think it would be reasonable to assume these were
23 designed well before the Act and the envision of competition.

24 Q Well, jumping back just a little bit, looking at Page
25 12 of your testimony, Lines 14 through 17. And you have

1 indicated there that for purposes of determining the
2 applicability of reciprocal compensation, a local calling area
3 can be defined as mutually agreed to by the parties and
4 pursuant to the terms and conditions contained in the parties'
5 negotiated interconnection agreement, correct?

6 A Right. That is just for reciprocal compensation,
7 that is not for retail customers of either BellSouth or the
8 ALEC.

9 Q And I think Ms. Masterton may have touched on this,
10 but are you suggesting that local calling areas should be
11 negotiable between the parties?

12 A I am suggesting that the reciprocal compensation for
13 local traffic should be negotiated between the parties. Local
14 calling areas are determined for BellSouth by this Commission,
15 and that is with respect -- you have two sides of the house,
16 you have the retail side that faces the consuming and using
17 public and then you have the wholesale side of the house where
18 carriers send traffic back and forth. And this is discussing
19 the wholesale side of the house.

20 And we should reach an agreement between another ALEC
21 on what we are going to define as local for reciprocal
22 compensation purposes so we know what we have to pay each
23 other. But we are not suggesting that MCI WorldCom and
24 BellSouth get together and redefine Tallahassee as a local
25 calling area that incorporates Pensacola. We are not saying

1 that. That is the retail side of the house. That is the
2 Commission's purview.

3 Q Well, when BellSouth and the ALEC have different
4 interpretations of local calling area, what particular criteria
5 does BellSouth have in negotiating compensation between those
6 two carriers?

7 A Well, we have as a basis our local calling area and
8 what we determine with the other carriers should be a local
9 call and eligible for reciprocal compensation when they
10 complete traffic to us. The ALEC has got the freedom, and some
11 of them are expanding on that freedom to make much larger local
12 calling areas because they want to incorporate a lot of users
13 in a toll free zone as an example. The two carriers just have
14 to get together and decide, okay, when these things overlap how
15 are we going to compensate each other. I.

16 Think we have some agreements where regardless of the
17 actual local calling areas, we compensate each other with
18 reciprocal comp for all calls within a LATA. It is really a
19 negotiation between the carriers how you want to compensate
20 each other for the local traffic. But the basis is going to be
21 our local calling area and their basis is going to be their
22 local calling area.

23 Q But you don't really have any set standards of things
24 that you would look at in going into that type of negotiation?

25 A Outside of that, no. I mean, we are just, you know,

1 we want to establish agreements with them if we can on a
2 mutually-agreed basis.

3 COMMISSIONER DEASON: Let me ask a question at this
4 point. You used the terminology that ALECs have the freedom to
5 define their own local calling areas and may expand upon what
6 you define as the local calling area. Did I understand you
7 correctly?

8 THE WITNESS: Yes, that is what I was saying. And
9 what I mean by that is BellSouth doesn't tell an ALEC how big
10 its local calling area has to be.

11 COMMISSIONER DEASON: Well, I kind of took it that
12 they have the freedom, and that it was implying that BellSouth
13 does not have the freedom. Are you implying that or not?

14 THE WITNESS: No, no. I am just implying they don't
15 have the freedom to tell me how my local calling area is set
16 out, I don't have the freedom to tell them how theirs should be
17 set out. That's what I'm meaning to imply. We can come before
18 this Commission, or this Commission could order us to expand or
19 contract a local calling area, or we could request. You have
20 the authority to do that. AT&T or MCI doesn't have the
21 authority to redesign my local calling area.

22 COMMISSIONER DEASON: But you have the ability to
23 expand what you define to be a local calling area, is that
24 correct?

25 THE WITNESS: Subject to this Commission's approval,

1 yes, it is my understanding.

2 BY MS. KEATING:

3 Q Now, BellSouth has entered into some agreements with
4 carriers for a LATA-wide calling area, is that correct?

5 A For reciprocal compensation purposes, yes.

6 Q Well, would BellSouth object if this Commission were
7 to determine that for purposes of reciprocal compensation a
8 local calling area should be defined as a LATA-wide area?

9 A Well, no, I don't really think we would be able to
10 object, simply because the provisions of the Act, I think it is
11 252(i), indicates that when we establish an agreement with a
12 carrier, other carriers can opt into that agreement if they so
13 choose. You know, subject to making sure they take the same
14 terms and conditions. So we have done it once, so it is open
15 to any carrier that wants to do it. There is not a need for
16 the Commission to order it.

17 Q Do you see any administrative efficiencies in having
18 one defined definition essentially of a local calling area?

19 A I imagine there could be some.

20 Q I'm going to look now at your direct testimony on
21 Page 23. This is Lines 21 through 25. And here you are
22 referencing the FCC's First Report and Order at Paragraph 199?

23 A Yes.

24 Q And I think this is, again, another area that Mr.
25 Lamoureux touched on. And that paragraph reads in part the

1 requesting carrier that wishes a technically feasible but
2 expensive interconnection would, pursuant to Section 252(d)(1),
3 be required to bear the cost of that interconnection including
4 a reasonable profit. Is that correct?

5 A Yes.

6 Q How should a determination be made as to what is a
7 technically feasible but expensive interconnection as opposed
8 to just a technically feasible interconnection?

9 A Well, there are a variety of points in the ILEC
10 network that ALECs can interconnect at. In the end office on
11 the trunk side, the tandem office, and each of those have got
12 various interconnection rates associated with them. And those
13 rates include a reasonable profit as it is today in the UNE
14 cost docket. So, it's up to the ALEC to choose where they want
15 to interconnect, and they can choose to connect at a particular
16 traffic level, say like a DS-1 where the ports would be very
17 cheap, or they can choose a more expensive version. But
18 whatever they choose, however they want to interconnect, they
19 are responsible for paying those costs.

20 As it relates to the issue that is before us on the
21 POI, we think that this choice of interconnection of
22 interconnecting in one local calling area, but trying to serve
23 other local calling areas, increases its interconnection costs
24 and that would also be an expensive choice. And we will let
25 them do it. I mean, they can interconnect where they are

1 legally allowed to. We want to be compensated when they drive
2 our costs up that are not recovered, which is what can happen.

3 Q But is there a bright line way to determine the
4 difference between a technically feasible but expensive
5 interconnection as opposed to just technically feasible?

6 A Oh, yes.

7 Q And what is the dividing line?

8 A Well, I think the bright line in that is the prices
9 associated first with my first example with the different kinds
10 of interconnection opportunities that are laid out in the UNE
11 cost docket. So, I mean, you can just look at the rate sheet
12 and determine which one meets your needs as an ALEC, and one
13 may be more expensive than another. You know, coming in with
14 an OC-3 versus a DS-1, OC-3 optical carriers are very
15 expensive. So that is an example.

16 And then the second example is this choice here. The
17 line is not quite so bright. But there is a cost burden that
18 is being generated by their choice of interconnection and we
19 think we are eligible to receive recovery of that at a
20 reasonable price, that's why we are offering dedicated
21 interoffice transport at the DS-3 level from the UNE docket.

22 Q Well, there has also been some discussion today about
23 the TSR Wireless order.

24 A Yes.

25 Q Would you agree with me that that order really

1 addressed interconnection obligations between ILECs and
2 wireless carriers?

3 A Certainly it did.

4 Q Do you believe that the rationale in there also
5 applies to wireline carriers?

6 A Yes. Because, again, the MTA is the wireless carrier
7 equivalent of a local calling area to a wireline carrier. It
8 is the only order that the FCC speaks to the issues associated
9 with interconnection and costs, and in this case it is looking
10 at a CMRS provider. But it provides a perfect example for the
11 wireline market. And in that you are obligated within the
12 local calling area, within the MTA to deliver that traffic to
13 the ALEC and you are responsible for the costs.

14 But there was no such obligation in that particular
15 TSR Wireless to say instead of getting it from Flagstaff to
16 Yuma, Arizona you have got to carry it over to somewhere in New
17 Mexico and then bring it back in. So I think it provides a
18 good illustration. We are responsible for what is in our local
19 calling area, but there is nothing in there about taking it
20 outside of that local calling area.

21 Q But can you point me, though, to anything actually in
22 that order that says that those requirements do, in fact, apply
23 equally to wireless carriers and wireline carriers?

24 A No, I don't remember anything in there that would say
25 that.

1 Q And this is just a follow-up on some discussion about
2 FCC's Rule 51.703.

3 A Uh-huh.

4 Q I believe you had some discussions with Mr. Melson
5 and Mr. Lamoureux on this.

6 CHAIRMAN JACOBS: Staff, are you close?

7 MS. KEATING: I have probably another five or ten
8 minutes.

9 CHAIRMAN JACOBS: That's okay. Why don't we go ahead
10 and take a break. We will come back in ten minutes.

11 (Recess.)

12 CHAIRMAN JACOBS: We will go back on the record.
13 Staff, you may continue.

14 BY MS. KEATING:

15 Q Moving on, Mr. Ruscilli. I've just got a
16 clarification question on a discussion that was had regarding
17 FCC Rule 51.703.

18 A Okay.

19 Q Do you happen to have a copy of FCC Order 01-131 that
20 was released April 27th?

21 A Yes, I have one in front of me.

22 Q And this is the order on remand and report and order
23 regarding intercarrier compensation for ISP-bound traffic?

24 A Yes, it is.

25 Q Would you mind turning to Page 61 of that order. It

1 is Appendix B, final rules.

2 A Page 61?

3 Q It is 61 on my version, but it is Appendix B, if you
4 have --

5 A Okay. Page 61 on mine is the statement of Chairman
6 Michael Powell. This is Page 60 on the one I have.

7 Q Okay. This is Appendix B?

8 A Yes.

9 Q And would you look at the very last paragraph on that
10 page. It is numbered Item 3.

11 A Where it starts Section 51.701(a)?

12 Q Uh-huh.

13 A Okay.

14 Q Would you just mind reading that for me?

15 A Sure, I will do my best. Section 51.701(a),
16 51.701(c) through (e), 51.703, 51.705, 51.707, 51.709, 51.711,
17 51.713, 51.715, and 51.717 are each amended by striking local,
18 in quotes, before telecommunications traffic each place such
19 word appears.

20 Q Do you have any opinion on what the FCC might have
21 meant by striking the word local from those rules?

22 A No, I don't. This is the first time I have looked at
23 this.

24 Q I would like to go back then to your direct
25 testimony. And I'm looking starting on Page 24 with Line 23.

1 And actually there is also a reference in your rebuttal
2 testimony, as well, on Pages 12 and 13 where you are
3 recommending an alternative --

4 A Yes.

5 Q -- to having ALECs replicate BellSouth's network?

6 A Yes.

7 Q And if I understand your alternative proposal
8 correctly, what you are recommending is that the ALECs have a
9 POI in every local calling area, whether it is a physical or
10 virtual point of interconnection, is that correct?

11 A Not entirely. The offering we have on the table says
12 that once traffic from an ALEC's customers in a local calling
13 area that is different from where their POI is, once that
14 traffic reaches a threshold of 8.9 million minutes of use a
15 month for three consecutive months, then they should establish
16 a POI or they could lease the dedicated interoffice transport
17 facility at a DS-3 level from us. Up until that point we are
18 not suggesting they do anything different than they do today.

19 Q But in that proposal, once they reach the threshold
20 level, you are recommending that they be required to have a POI
21 in every local calling area, is that correct?

22 A No, just in that local calling area. And I want to
23 be clear about that. I don't want any confusion. It is not
24 once they reach that level every local calling area has to have
25 one of these lines in it. It is just the local calling area

1 where that traffic is coming from.

2 Q But if every local calling area, in every local
3 calling area they reach that threshold, then you believe they
4 should have to have a POI in every local calling area?

5 A Yes, or buy facilities. If they still want to have a
6 single POI, they can do that or they can buy the facilities
7 back to us.

8 Q Well, if the Commission were to require that, would
9 that essentially be requiring an interconnection obligation on
10 an ALEC?

11 A Yes.

12 Q I would like to hand you a copy -- or actually you
13 are going to be handed a copy of FCC Rule 47 CFR 51.223, and I
14 am specifically looking at Subsection A. And if you would just
15 take a second to glance at just Subsection A.

16 A I want to make sure. 51.223(a) down at the bottom of
17 Page 26?

18 Q That is correct.

19 A Okay.

20 Q Now, it appears to me that this rule prohibits state
21 commissions from imposing obligations in Section 251(c) on a
22 local exchange company that is not an incumbent. Do you agree
23 with that interpretation?

24 A Well, yes, in its general sense. But the Commission
25 has the right to determine interconnection and reciprocal

1 compensation. And what we are dealing with here is something
2 that the FCC itself said in the First Report and Order in
3 responding to an MCI inquiry on the same issue that this is
4 something left to the states to decide. So I think the states
5 have the authority to make this decision.

6 Q Okay. So just to be clear, you do not believe there
7 would be a conflict with this rule were the Commission to
8 require a POI in every local calling area?

9 A No.

10 Q I would like to move on then to the issue of
11 assignment of numbers outside the assigned rate center.

12 A Yes.

13 Q Is it true that BellSouth used to charge reciprocal
14 compensation for its FX customers for service, FX service?

15 A Yes, for some of them in a subset. And I will be
16 specific, we had -- BellSouth had some ISPs that had FXs in
17 those calling areas. And at one point in time we would charge
18 reciprocal comp for FXs as long as they were not associated
19 with an ISP. If the ISP had an FX, we did not charge
20 reciprocal comp because that is not local traffic, that is
21 traffic subject to interstate jurisdiction. But we have now
22 stopped doing that and put some systems in place effective
23 February 23rd on reciprocal comp. And we do not charge
24 reciprocal comp for calls going to FX customers in any
25 category.

1 Q Why did you stop doing that?

2 A Because it's not a local call.

3 Q And when did you make that determination?

4 A I wasn't back with BST at the time. I know they were
5 looking at it last summer, some folks were, is what I have been
6 told. So I was not party of the group that was examining that,
7 but it was evident that it wasn't a local call and it was a
8 toll call. And so they moved towards developing the systems
9 that we need in the billing group so that we would not bill
10 reciprocal calls -- reciprocal compensation for those calls.

11 Q For purposes of billing an ALEC, how did BellSouth
12 delineate between calls terminated to an FX customer that was
13 an ISP and an FX customer that was not an ISP?

14 A Well, some of them we had records where we knew where
15 the ISPs were and they had FX, so that part was easy. The rest
16 of it I think they made -- and, again, this happened before I
17 came back to BST -- I think they looked at the traffic
18 patterns.

19 Q And if I understand you correctly, BellSouth is now
20 willing to pay access charges?

21 A Yes.

22 Q Does BellSouth assess access charges for calls from
23 its customers to virtual NXX customers of ALECs?

24 A If an ALEC has a virtual NXX and a BellSouth customer
25 calls that virtual NXX, we would expect to be paid access

1 charges.

2 Q Now, let me make sure I understand your position
3 correctly. You believe that intercarrier compensation should
4 be determined based on the physical location of the originating
5 and terminating end users?

6 A Yes.

7 Q Well, is there any problem with separating long
8 distance calls from local calls to end users assigned numbers
9 outside of the same NXX?

10 A Well, long distance calls are by default. When you
11 hit 1+, we know what that is, to make a long distance call. So
12 we can discern a long distance call from a local call. What we
13 can't discern is if an ALEC has a virtual NXX, whether or not
14 that, in fact, is a virtual NXX or not. And what BellSouth is
15 requesting the Commission do, consistent with what it did, I
16 think, in the Intermedia order, is to require the ALECs to give
17 BellSouth the correct information on the routing of the call so
18 it can determine appropriately how to pay reciprocal comp or
19 not.

20 COMMISSIONER JABER: Mr. Ruscilli, is a virtual NXX
21 when an ALEC assigns a specific number to a specific switch, is
22 that what a virtual NXX is?

23 THE WITNESS: When you get a bank of numbers from the
24 North American Numbering Plan Administrator, you have to
25 identify where that bank of numbers is homed to. In other

1 words, this is associated with this switch, these are the
2 coordinates of that switch, so all the other carriers know how
3 to rate calls going to that switch and how to route calls that
4 are going to that switch.

5 Virtual NXX is where you take one of those codes that
6 would, say, normally be associated with one switch and you
7 disassociate it from where it is physically at, it is now
8 appearing somewhere else. So someone in another local calling
9 area just sees a local number and they dial it just like
10 dialing an FX number, but the actual end user is somewhere else
11 outside of that local calling area. So they are, in fact,
12 facilitating a toll call.

13 BY MS. KEATING:

14 Q I think maybe if I used an example, maybe my question
15 wasn't quite clear enough. Assume that an end user in Orlando
16 places two calls, both are to the same local NXX. One call
17 goes to his next door neighbor, the other call goes to a
18 virtual NXX customer in Miami.

19 A Okay.

20 Q How is BellSouth going to pick up and identify that
21 one is truly a local call and one goes to a virtual NXX in
22 Miami?

23 A What BellSouth is requesting is that the carriers
24 identify those calls that are set up as virtual NXX and provide
25 the appropriate information for routing and rating. We can't

1 do that, we are requesting the ALEC industry to do that.

2 MS. KEATING: I believe those are all the questions
3 staff has.

4 THE WITNESS: Thank you.

5 CHAIRMAN JACOBS: Commissioners? No further
6 questions. Exhibits. I'm sorry, redirect.

7 MR. EDENFIELD: As painful as it may be. I will try
8 to be quick. As long as Mr. Ruscilli has the right answers to
9 my questions, we will move along quickly.

10 REDIRECT EXAMINATION

11 BY MR. EDENFIELD:

12 Q Mr. Ruscilli, Mr. Lamoureux had asked you a couple of
13 questions about some arbitration decisions out of this
14 Commission, specifically an AT&T and in a Level 3 concerning
15 the point of interconnection. Do you recall those questions?

16 A Yes.

17 Q And that discussion. Is there another arbitration
18 decision where this Commission has rendered a decision on the
19 point of interconnection issue?

20 A Yes. I brought it up in my discussion with Mr.
21 Lamoureux. There is a Sprint decision.

22 Q Let me ask you to take a look at this decision real
23 quickly. Do you have a copy of that with you, the Sprint order
24 dated May 8th, 2001 in Docket 000828-TP?

25 A No, sir, I don't. I don't have one with me here.

1 Q Well, Mr. Meza is coming around with one.

2 A And he looks sharp today.

3 Q Since Delta has his clothes I --

4 (Laughter.)

5 A I have that order before me.

6 Q Okay. Take a look, if you would, at Page 58, and the
7 second full paragraph that starts, "Based on the evidence of
8 the record," and read down just a couple of sentences to
9 yourself, and then I've got a question for you.

10 A Okay.

11 Q Before I ask you the question, just let me kind of
12 refresh what Mr. Lamoureux was talking about, and that was the
13 fact in the AT&T and the Level 3 orders the Commission took up
14 the point of interconnection. And when it got to the issue of
15 transport costs it said there was not enough evidence in the
16 record to reach a decision. Do you recall all of that
17 conversation?

18 A Yes, I do.

19 Q What was the Commission's conclusion in -- this is
20 not the paragraph I'm talking about, but what was the
21 Commission's ultimate conclusion in the Sprint arbitration as
22 to whether Sprint would have to reimburse BellSouth for
23 transport costs?

24 A That in those situations where Sprint was serving
25 customers in a local calling area outside of where its POI was

1 located that they, in fact, should reimburse BellSouth for
2 those additional transport costs.

3 Q Okay. And that would be basically the Commission
4 approved the position we are taking today at least in the
5 Sprint arbitration?

6 A Yes, it did.

7 Q And the evidence that it talked about, and I will go
8 to this paragraph I referred you to, the additional evidence
9 that was talked about, is that what is referred to here?

10 A Yes.

11 Q And what evidence is that?

12 A Well, they were talking about the evidence of the
13 direct interoffice trunk that was discussed in the Sprint case,
14 and I have filed similar information in my direct testimony
15 here.

16 Q So when it talks about BellSouth Witness Ruscilli
17 identifies additional transport mileage that is involved, blah,
18 blah, blah, that is testimony that you presented in this
19 proceeding?

20 A Yes.

21 MR. MOYLE: Mr. Chairman, we have let this go pretty
22 far, but the witness is being asked to interpret a Commission
23 order. I mean, the record speaks for itself as to what
24 happened previously. And to the extent that Mr. Edenfield is
25 bringing in evidence in the other proceeding, I don't think

1 that is appropriate.

2 MR. EDENFIELD: First of all, I am not bringing in
3 evidence from the other proceeding, I'm just asking him to read
4 this Commission's order. Which the Commission is well aware of
5 its order, and Mr. Ruscilli was the witness there. There has
6 been a question raised about the distinction in the evidence
7 raised in AT&T and Level 3 that was raised by Mr. Lamoureux. I
8 am just demonstrating to the Commission that in the Sprint
9 arbitration decision the Commission felt like there was
10 sufficient evidence to reach a conclusion that Sprint had to
11 reimburse us for our costs and just trying to figure out
12 whether Mr. Ruscilli has presented that testimony here today.

13 CHAIRMAN JACOBS: Why don't you do this, why don't
14 you restate your question. And I do think it would be
15 inappropriate for him to restate evidence in the prior docket.
16 You can ask him to what extent he is submitting the same here
17 today.

18 BY MR. EDENFIELD:

19 Q Have you submitted the same evidence in this docket,
20 Mr. Ruscilli?

21 A Yes, I have submitted similar evidence. It is on
22 Page 25 of my testimony where I talk about the appropriate
23 rates and the cost for that dedicated interoffice transport.

24 Q Dedicated interoffice transport, if you look in the
25 Sprint order on Page 62 that you have there in front of you,

1 take a look at that. It is the first paragraph on the page.
2 It's not a full paragraph, but the last sentence that says,
3 "Therefore, BellSouth," do you see where I am?

4 A Yes.

5 Q Read that sentence to yourself. Actually read it out
6 loud.

7 A "Therefore, BellSouth may only require Sprint to pay
8 TELRIC rates for interoffice dedicated transport airline
9 mileage between the V&H coordinates of Sprint's virtual POI, or
10 VPOI, and Sprint's POI."

11 Q Are these TELRIC rates for interoffice dedicated
12 transport the same rates that are in your testimony here on
13 Page 25?

14 A Yes. I put in the rates in my testimony here. At
15 the time I filed it the Commission had not yet approved the UNE
16 cost docket, so I have also got the UNE rates, which are
17 somewhat lower.

18 Q Okay. And just finally, look at Page 60 of this
19 order real quick.

20 A Yes, sir.

21 Q Take a look at the second full paragraph?

22 A Okay.

23 Q It says, "We agree." Do you see where it says,
24 "Therefore, we believe." Based on the evidence that was in the
25 Sprint arbitration and similar evidence here, tell me what the

1 Commission concluded in the Sprint arbitration, just read that,
2 "Therefore, we believe."

3 A "Therefore, we believe that where Sprint designates a
4 point of interconnection outside of BellSouth's local calling
5 area, Sprint should be required to bear the cost of facilities
6 from that local calling area to Sprint's POI. We note that
7 this is consistent with Paragraph 199 of the local competition
8 order."

9 Q Okay. What is the date of this order?

10 A Issued May 8th, 2001.

11 Q Is that after the FCC's notice of proposed
12 rulemaking?

13 A Yes.

14 Q Now, I believe it was Mr. Lamoureux also asked you
15 concerning the geographic test and how BellSouth proposes that
16 the ALECs satisfy this test. Do you recall the discussion
17 about that?

18 A Yes, I do.

19 Q Do you happen to have staff exhibits in front of you
20 that contain BellSouth's responses to Staff's First Set of
21 Interrogatories, do you have those there in front of you?

22 A No, sir, I don't.

23 Q Do you happen to have our responses to the
24 interrogatories there with you?

25 A Not at this table with me, no, sir.

1 Q Okay. Mr. Meza is going to hand you a copy of the
2 staff exhibits that were passed out earlier. And when you get
3 that you are going to have to dig through there just a little
4 bit, it is kind of in the middle of a package. In Stip 6,
5 which has been admitted in this docket as Exhibit Number 5, you
6 see BellSouth's Responses to Staff's First Set of
7 Interrogatories?

8 A Yes.

9 Q When you find those, find Item Number 4?

10 A Yes.

11 Q Take a look at our response there and then tell me
12 whether these are the items that BellSouth contends the ALEC
13 has to demonstrate in order to comply with the geographic
14 coverage test?

15 A Yes, they are. These are the items that I supplied
16 in the data response and that I spoke with Mr. Lamoureux on in
17 trying to determine what the appropriate test would be.

18 Q And, finally, the NPA/NXX and the IP Telephony
19 issues, both of those were addressed by this Commission in the
20 Intermedia arbitration, do you recall that?

21 A Yes, I do.

22 Q Do you have a copy of the Intermedia arbitration
23 order that is dated August 22nd, 2000 in Docket Number
24 991854-TP, do you have that?

25 A No, sir, I don't. I am woefully unprepared for your

1 cross.

2 Q We should have coordinated a little better, I guess.

3 A I have it before me now. Thank you.

4 Q Take a look -- and let's, I guess, look at the
5 NPA/NXX issue first. Take a look on that order on Page 50, if
6 you would?

7 A Yes, sir.

8 Q And this is under the section dealing with the
9 Commission's decision. Take a look and read that paragraph
10 there at the top of the page. "We agree with Intermedia," blah
11 blah, blah. Do you see that?

12 A Uh-huh. Okay.

13 Q Is what the Commission ordered here in the Intermedia
14 arbitration consistent with what we are asking the Commission
15 to order in this docket as it relates to the NPA/NXX issue?

16 A Yes, identification of where it is homed and routing
17 and rating information.

18 Q Turn over to page -- turn to the IP Telephony issue,
19 just quickly. And I know that Mr. McGlothlin had mentioned
20 something about the ellipsis clause or something you all were
21 talking about. Take a look on Page 55, if you would. It's
22 that first paragraph. Not the first full paragraph, but the
23 first one.

24 A Okay. At the top of the page?

25 Q Right. You and Mr. McGlothlin had discussed the

1 FCC's April 10th, 1998 order?

2 A Right.

3 Q Do you recall that conversation with him?

4 A Yes, I do.

5 Q Take a look, does the Commission reference that same
6 order, that April 10th, 1998 FCC order in this Intermedia
7 arbitration order?

8 A Yes.

9 MR. McGLOTHLIN: Excuse me, I may have an objection
10 to that line of questions. As I recall this issue was dealt
11 with by the Commission, but then withdrawn in lieu of a
12 stipulation by the parties. And if my understanding is
13 correct, then I would object to any use of this order as having
14 any precedential value.

15 MR. EDENFIELD: Well, I mean, this is an order of
16 this Commission that was entered on August 22nd, 2000. Just
17 because the parties may have, and I'm not sure that we did, but
18 if the parties ultimately resolved the IP Telephony issue
19 subsequent to the issuance of this order, then the order is
20 still valid.

21 I mean, what Mr. McGlothlin appears to be saying is
22 that this order is no longer valid, but that is not the case.
23 This Commission entered this order. This order is in effect
24 for Intermedia. Just because the parties may have ultimately
25 resolved an issue that you entered an order on at some

1 subsequent date does not take away from the fact that the order
2 is there or the validity of the order.

3 MR. McGLOTHLIN: Well, that might have some force if
4 it weren't for the fact that the parties filed reconsideration
5 on this order.

6 CHAIRMAN JACOBS: Let me ask this question of staff.
7 Is there any -- as I would understand the stipulation, that
8 simply goes to the effect of these provisions to the parties to
9 this arbitration agreement, is that correct?

10 MS. KEATING: I'm not sure what the stipulation said,
11 so I'm not really sure as to the effect on the Commission's
12 order. I think I would have to take a look at whatever
13 subsequent Commission order on reconsideration, what the
14 language in that was. We could perhaps have an answer for you
15 tomorrow. Or if you would like to take a break, we could try
16 to get a copy of the reconsideration order.

17 CHAIRMAN JACOBS: Your basic objection is that there
18 is no binding -- it is not probative of this issue because it
19 has no real binding --

20 MR. McGLOTHLIN: Specifically my recollection is that
21 the parties filed for reconsideration of this aspect of the
22 order, and while that petition for reconsideration was pending,
23 the parties then stipulated to the result rendering this order
24 of no force and effect with respect to that issue.

25 CHAIRMAN JACOBS: I see. I don't think it prohibits

1 the questions. I think, however, it is of a tenuous nature
2 given that whatever was decided in the order obviously was not
3 intended to have a binding effect on the parties, and it is
4 arguable what the impact is on our prior order.

5 It would probably be wise to look at the
6 reconsideration. Let's do that. Let's look at the order on
7 reconsideration and determine what the real effect on our order
8 is. Is that sufficient, staff?

9 MS. KEATING: Yes, sir, that is fine. We could
10 certainly get a copy of the order as quickly as possible. And
11 one option may be to allow the questions and just give them the
12 weight that they are due in view of the --

13 CHAIRMAN JACOBS: I'm sorry, Commissioner.

14 COMMISSIONER JABER: Mr. Chairman, I had a question
15 of staff that has nothing to do with your ruling, but it
16 triggered -- I was going to ask it earlier when Commissioner
17 Deason was asking you if parties were prohibited from
18 negotiating after our arbitration decisions. It occurs to me
19 that that happens. And my question is this, when that happens,
20 do we -- are portions of the order vacated? Because this is, I
21 think, what Mr. McGlothlin is referring to. Now it seems
22 appropriate to ask the question. When we enter an arbitration
23 order and the parties go back and negotiate something different
24 than what our arbitration order says, does that have the effect
25 of nullifying that part of our order?

1 MS. KEATING: No, Commissioner, in my opinion it does
2 not.

3 COMMISSIONER JABER: Unless we say so.

4 MS. KEATING: Correct.

5 COMMISSIONER JABER: Well, in analyzing this further,
6 consistent with what Commissioner Deason requested, would you
7 also think about that and whether we should start doing it.
8 Because it seems to me at some point it would be confusing
9 because we will have an arbitration order that says one thing
10 and we might have a subsequent interconnection agreement that
11 says something different.

12 CHAIRMAN JACOBS: It may be necessary to restate the
13 order. Because essentially what all this says is that at one
14 point we rendered this ruling, but this ruling has no further
15 impact on the parties to that agreement.

16 COMMISSIONER PALECKI: Chairman Jacobs, since this is
17 a legal issue, I would think that it would be something that
18 the parties would be able to brief after this proceeding. My
19 feeling is that Mr. McGlothlin would well be able to bring out
20 what the result of the negotiation was, what the stipulation
21 was, and why that would make this order no longer applicable.

22 CHAIRMAN JACOBS: Here is what I would like to do --

23 MS. KEATING: Mr. Chairman, I'm sorry to interrupt,
24 but we actually have been provided a copy of that order.

25 CHAIRMAN JACOBS: The reconsideration order?

1 MS. KEATING: Yes, sir. This was issued April 24th,
2 2001. This is an order on reconsideration.

3 CHAIRMAN JACOBS: And the provision is still in
4 there?

5 MS. KEATING: And this is indicated in the case
6 background. It states Intermedia indicated that the agreement
7 had gone into effect pursuant to 252(e)(4) of the Act,
8 therefore, it indicates that it has withdrawn this issue from
9 its motion for reconsideration based on the understanding that
10 the parties' agreement renders our decision on this issue a
11 nullity.

12 MR. EDENFIELD: In other words, they were untimely.

13 CHAIRMAN JACOBS: I am going to allow the question.
14 And if there is some motion either -- and I will allow the
15 parties to address this in their briefs, and I assume you have
16 an option to deal with it on some motion to strike.

17 MR. McGLOTHLIN: Given that ruling, sir, I think I
18 would be all right with that ruling if I would have a chance
19 for some very brief recross after this question.

20 MR. EDENFIELD: I have no objection to that. I mean,
21 if you would like to ask what the ultimate conclusion or the
22 ultimate resolution was, that is fine with me.

23 CHAIRMAN JACOBS: I will allow your question which
24 was the subject of the original objection.

25 MR. EDENFIELD: Let me see if I can remember where we

1 were.

2 BY MR. EDENFIELD:

3 Q I think the question I had, Mr. Ruscilli, was does it
4 appear that the Commission in entering its Intermedia order,
5 that it considered the FCC's April 10th, 1998 Report to
6 Congress?

7 A It's here in the order, some quotes from it. It
8 appears in that paragraph.

9 Q Okay. Now turn over to Page 57 real quickly, and
10 this is the Commission --

11 CHAIRMAN JACOBS: Before you go on, Mr. Edenfield,
12 you were asking what the ultimate resolution of that was. We
13 allowed your question subject to recross by Mr. McGlothlin.

14 MR. EDENFIELD: And that's fine. I've got one more
15 question on this topic, and then I'm happy to -- I'm done.

16 CHAIRMAN JACOBS: Okay.

17 BY MR. EDENFIELD:

18 Q Take a look, if you would, Mr. Ruscilli, on Page 57?

19 A Yes, sir.

20 Q The second full paragraph that starts with regard to
21 Phone-to-Phone IP Telephony. Do you see that?

22 A Yes, sir.

23 Q Go down a little over halfway to where it says except
24 for perhaps.

25 A Okay.

1 Q Do you see that? Read the Commission's decision into
2 the record, if you will.

3 A "Except for, perhaps, calls routed over the internet,
4 the underlying technology used to complete a call should be
5 irrelevant to whether or not switched access charges apply.
6 Therefore, like other telecommunications services, it would be
7 included in the definition of switched access traffic.
8 Therefore, we find that switched access traffic shall be
9 defined in accordance with BellSouth's existing access tariff
10 and include Phone-to-Phone Internet Protocol Telephony."

11 Q Is that consistent with what we are proposing in this
12 docket?

13 A Yes.

14 MR. EDENFIELD: Chairman Jacobs, I have no more
15 questions on the IP Telephony. Do you want to do that now or
16 do you want me to go ahead and finish up with everything?

17 CHAIRMAN JACOBS: Why don't we go on with this. Mr.
18 McGlothlin, while we are in this stream of consciousness, why
19 don't we go ahead and do your recross.

20 RE CROSS EXAMINATION

21 BY MR. MCGLOTHLIN:

22 Q Sir, looking at Page 55 of the order that was
23 referenced earlier, does it appear to you that the quotation
24 there is a quotation from Witness Varner's testimony?

25 A It is from some witness -- yes, I had to go back to

1 the preceding page. It says Witness Varner.

2 Q And does it appear to you that based on the ellipses
3 there, Witness Varner left out the same portions of the report
4 that you left out in your prefiled testimony?

5 A Yes.

6 Q Including the sentence that came next in the report
7 which indicated the FCC's refusal or decision to decline to
8 adopt any definitive conclusions?

9 A Yes.

10 MR. McGLOTHLIN: That's all.

11 CHAIRMAN JACOBS: Thank you.

12 FURTHER REDIRECT EXAMINATION

13 BY MR. EDENFIELD:

14 Q In discussing the transport for the point of
15 interconnection issue, at some point I think someone asked you
16 was this a revenue issue or a cost issue. Do you recall that
17 question?

18 A There was a line of cross on whether or not we had
19 more local calling areas would there be more revenue.

20 Q Do you know whether BellSouth's costs increase if
21 BellSouth is required to deliver traffic out of a local calling
22 area?

23 A Yes, because it is going over facilities that were
24 not engineered to handle that traffic.

25 MR. EDENFIELD: That's all I have. Thank you very

1 much.

2 CHAIRMAN JACOBS: Very well. Exhibits.

3 MR. EDENFIELD: BellSouth would move in Exhibit 11.

4 CHAIRMAN JACOBS: Without objection, show Exhibit 11
5 is admitted.

6 (Exhibit 11 admitted into the record.)

7 MR. MELSON: WorldCom moves 12.

8 CHAIRMAN JACOBS: Without objection, show Exhibit 12
9 is admitted.

10 (Exhibit 12 admitted into the record.)

11 CHAIRMAN JACOBS: And we didn't mark the other, did
12 we? Very well. Thank you, Mr. Ruscilli. The next witness.

13 MR. EDENFIELD: BellSouth would call Doctor William
14 Taylor.

15 CHAIRMAN JACOBS: For your information, we are going
16 to work through till 6:00.

17 MR. EDENFIELD: I think Doctor Taylor is going to be
18 quick. I'm not sure how much cross there is for him.

19 May I proceed, Chairman Jacobs?

20 CHAIRMAN JACOBS: You may proceed.

21 MR. EDENFIELD: Thank you.

22 MR. MOYLE: Mr. Chairman, a question of
23 clarification. I was under the assumption that we were going
24 to move down the witnesses in the order that they appeared in
25 the --

1 MR. EDENFIELD: Well, it said all the rebuttal and
2 direct have been combined. The problem is Doctor Taylor filed
3 only rebuttal, so I assumed he would be going next in the
4 BellSouth witness order. I would ask if that was not
5 everyone's understanding, I would ask for a little
6 consideration because Doctor Taylor needs to get back to a --

7 CHAIRMAN JACOBS: Before we do that, it would have
8 been good to restate the order given the agreement to do direct
9 and rebuttal combined. Am I to take it, then, that the parties
10 would agree -- are you stating an objection to going through
11 putting all one parties witnesses at once?

12 MR. MOYLE: I was just asking for clarification. I
13 know that historically we have gone through the order as they
14 have been listed there, and so I was a little curious mainly as
15 to what -- I'm not objecting, and Mr. Edenfield is reasonable,
16 if he has travel accommodations, you know, that's fine.

17 CHAIRMAN JACOBS: Let's get the answer to the first
18 question, and that is whether or not we would intend to do all
19 of BellSouth witnesses, all of Verizon, and then all of the
20 ALEC witnesses.

21 MR. EDENFIELD: Certainly that appears to be the
22 order in which it is set up. The BellSouth witnesses were
23 first, and all the Verizon witnesses are grouped. Normally we
24 go ILEC and then ALEC. I mean, I don't know that anybody
25 really gave it that much thought other than there was agreement

1 that we would be doing rebuttal and direct together. Doctor
2 Taylor didn't file direct, so obviously his name only came up
3 under rebuttal, but --

4 CHAIRMAN JACOBS: Well, historically also if their
5 witness was only rebuttal he would come after all witnesses who
6 have filed both. He filed either only direct or direct and
7 rebuttal. And that witness, the rebuttal-only witness, is my
8 understanding, would be the last in that order.

9 COMMISSIONER JABER: Chairman Jacobs, we didn't talk
10 about it at the prehearing. So I think that certainly in my
11 mind when we were going through the order of witnesses, I was
12 contemplating Ruscilli, Tolar, Jones, Beauvais. Now there was
13 also some discussion about accommodating for travel.

14 CHAIRMAN JACOBS: Okay. Here is what -- so we will
15 be clear going forward, we will go forward with witnesses by
16 parties so that all BellSouth witnesses, all Verizon, all ALEC.
17 Is that acceptable to the parties? And normally is the case,
18 we will take them in order of direct. And, of course, if one
19 of your witnesses only has rebuttal, he will be last.

20 MR. EDENFIELD: And I apologize for any
21 misunderstanding. I certainly apologize. I didn't mean to
22 upset the apple cart if the ALEC had prepared cross in a
23 certain way. I just thought we were grouping by company, and I
24 will tell you that Doctor Taylor is the only witness, as far as
25 I can tell, that filed only rebuttal testimony. So he would be

1 the only one that is not as listed under direct.

2 CHAIRMAN JACOBS: Very well. And if there is no
3 objection we will go ahead and put Mr. Taylor in out of order.
4 You may proceed.

5 MR. EDENFIELD: Thank you.

6 WILLIAM E. TAYLOR, Ph.D.
7 was called as a witness on behalf of BellSouth
8 Telecommunications, Inc., and, having been duly sworn,
9 testified as follows:

10 DIRECT EXAMINATION

11 BY MR. EDENFIELD:

12 Q Doctor Taylor, will you confirm that you were
13 previously sworn?

14 A Yes, that is correct.

15 Q State your name and occupation.

16 A William E. Taylor. I am an economist, Senior
17 Vice-president at NERA, and head of the Cambridge office and
18 the NERA telecommunications practice.

19 Q Are you the same Doctor Taylor that caused to be
20 filed in this proceeding 19 pages of rebuttal testimony and one
21 exhibit?

22 A Yes.

23 Q Do you have any changes or corrections to that
24 testimony?

25 A No, I don't.

1 Q If I asked the questions that appear in your
2 testimony to you today, would your answers be the same?

3 A They would.

4 MR. EDENFIELD: With that, I would move Doctor
5 Taylor's testimony into the record as if read.

6 COMMISSIONER DEASON: Without objection, show the
7 testimony of Doctor Taylor entered into the record as though
8 read.

9 MR. EDENFIELD: And I would ask that his exhibit be
10 marked for identification as Exhibit 13, I believe is the next
11 one.

12 CHAIRMAN JACOBS: Yes. Show that marked as Exhibit
13 13.

14 (Exhibit 13 marked for identification.)
15
16
17
18
19
20
21
22
23
24
25

ON BEHALF OF BELLSOUTH TELECOMMUNICATIONS, INC.
REBUTTAL TESTIMONY OF WILLIAM E. TAYLOR, Ph.D.
BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION
DOCKET NO. 000075-TP (PHASE II)
APRIL 19, 2001

1 **I. INTRODUCTION AND SUMMARY**

2 **Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND CURRENT**
3 **POSITION.**

4 A. My name is William E. Taylor. I am Senior Vice President of National Economic
5 Research Associates, Inc. ("NERA"), head of its Communications Practice, and head of its
6 Cambridge office located at One Main Street, Cambridge, Massachusetts 02142.

7 **Q. PLEASE DESCRIBE YOUR EDUCATIONAL, PROFESSIONAL, AND BUSINESS**
8 **EXPERIENCE.**

9 A. I have been an economist for over twenty-five years. I earned a Bachelor of Arts degree
10 from Harvard College in 1968, a Master of Arts degree in Statistics from the University of
11 California at Berkeley in 1970, and a Ph.D. from Berkeley in 1974, specializing in
12 Industrial Organization and Econometrics. For the past twenty-five years, I have taught
13 and published research in the areas of microeconomics, theoretical and applied
14 econometrics, which is the study of statistical methods applied to economic data, and
15 telecommunications policy at academic and research institutions. Specifically, I have
16 taught at the Economics Departments of Cornell University, the Catholic University of
17 Louvain in Belgium, and the Massachusetts Institute of Technology. I have also conducted

1 research at Bell Laboratories and Bell Communications Research, Inc.

2 I have participated in telecommunications regulatory proceedings before several state
3 public service commissions, including the Florida Public Service Commission
4 (“Commission”) in Docket Nos. 900633-TL, 920260-TL, 920385-TL, 980000-SP, 980696-
5 TP, 990750-TP, and 000075-TP (Phase I). In addition, I have filed testimony before the
6 Federal Communications Commission (“FCC”) and the Canadian Radio-television
7 Telecommunications Commission on matters concerning incentive regulation, price cap
8 regulation, productivity, access charges, local competition, interLATA competition,
9 interconnection and pricing for economic efficiency. Recently, I was chosen by the
10 Mexican Federal Telecommunications Commission and Telefonos de Mexico (“Telmex”)
11 to arbitrate the renewal of the Telmex price cap plan in Mexico.

12 I have also testified on market power and antitrust issues in federal court. In recent
13 work years, I have studied—and testified on—the competitive effects of mergers among
14 major telecommunications firms and of vertical integration and interconnection of
15 telecommunications networks.

16 Finally, I have appeared as a telecommunications commentator on PBS Radio and on
17 The News Hour with Jim Lehrer. My curriculum vita is attached as Exhibit WET-1.

18 **Q. PLEASE DESCRIBE NERA, YOUR PLACE OF EMPLOYMENT.**

19 A. Founded in 1961, National Economic Research Associates or NERA is an internationally
20 known economic consulting firm. It specializes in devising economic solutions to
21 problems involving competition, regulation, finance, and public policy. Currently, NERA
22 has more than 275 professionals (mostly highly experienced and credentialed economists)

1 with 10 offices in the U.S. and overseas offices in Europe (London and Madrid) and
2 Sydney, Australia. In addition, NERA has on staff several internationally renowned
3 academic economists as Special Consultants who provide their professional expertise and
4 testimony when called upon.

5 The Communications Practice, of which I am the head, is a major part of NERA. For
6 over 30 years, it has advised a large number of communications firms both within and
7 outside the U.S. Those include several of the regional Bell companies and their
8 subsidiaries, independent telephone companies, cable companies, and telephone operations
9 abroad (e.g., Canada, Mexico, Europe, Japan and East Asia, Australia, and South
10 America). In addition, this practice has supported a large number of legal firms and the
11 clients they represent, and routinely provided testimony or other input to governmental
12 entities like the FCC, the Department of Justice, the U.S. Congress, several state regulatory
13 commissions, foreign regulatory commissions, and courts of law. Other clients include
14 industry forums like the Unites States Telephone Association. Last year, the Warrington
15 School of Business Administration at the University of Florida presented its International
16 Business Leadership Award to NERA, citing work of the NERA Communications Practice
17 on incentive regulation interconnection, and efficient competition and technological
18 convergence.

19 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

20 A. I have been asked by BellSouth Telecommunications, Inc. (“BellSouth”)—an incumbent
21 local exchange carrier (“ILEC”)—to address economic issues raised in the testimonies of
22 witnesses representing alternative local exchange carriers (“ALECs”) in this proceeding. I

1 review and comment on the testimonies of Lee L. Selwyn (representing AT&T
2 Communications of the Southern States, Inc., TCG of South Florida, Global NAPS, Inc.,
3 MediaOne Florida Telecommunications, Inc., Time Warner Telecom of Florida, LP,
4 Florida Cable Telecommunications Association, Inc., and Florida Competitive Carriers
5 Association) and Timothy J. Gates (representing Level 3 Communications, LLC).

6 **II. RESPONSE TO INTERVENOR TESTIMONY**

7 **Q. WHICH ISSUES DO YOU ADDRESS IN YOUR TESTIMONY?**

8 A. I address Issues 12-15 as outlined by the Commission.

9 **Issue 12: Pursuant to the Act and FCC's Rules and Orders:**

10 **(a) Under what condition(s), if any, is an ALEC entitled to be compensated**
11 **at the ILEC's tandem interconnection rate?**

12 **(b) Under either a one-prong test or two-prong test:**

13 **(i) What is "similar functionality?"**

14 **(ii) What is "comparable geographic area?"**

15 **Q. HAVE YOU REVIEWED THE SAME LANGUAGE FROM THE FCC'S LOCAL**
16 **COMPETITION ORDER THAT DR. SELWYN CITES IN HIS TESTIMONY [AT**
17 **5-6]?**

18 A. Yes. I have reviewed paragraph 1090 of the Local Competition Order.¹ I have also
19 reviewed the surrounding paragraphs 1085-1093, which offer additional insight into the
20 FCC's intent.

21 **Q. DO PARAGRAPHS 1085-1093 OF THE LOCAL COMPETITION ORDER**

¹ FCC, *In the Matter of Local Competition Provisions in the Telecommunications Act of 1996*, CC Docket No. 96-
(continued...)

SUPPORT DR. SELWYN'S ARGUMENTS [AT 5-13]?

A. No, the FCC's intent simply does not support the position that Dr. Selwyn and the ALECs have taken in this proceeding. Dr. Selwyn and the ALECs in this proceeding have argued that carriers should receive inter-carrier compensation at the tandem rate based solely on the geographic area served by the terminating carrier's switch. If implemented, this approach would fail to produce a cost-based rate (which the FCC has required for inter-carrier compensation) and, consequently, fail to be economically efficient. An inter-carrier compensation rate that does not reflect the termination cost of the carrier receiving local exchange traffic from another carrier would open the door to inefficient competitive entry and, in many cases, undesirable arbitrage. The availability of inter-carrier compensation in excess of actual cost has already caused a proliferation of entry by ALECs nationally with the sole or primary purpose of receiving and switching Internet-bound traffic to Internet service providers ("ISPs"). Recognizing the enormous scope for arbitrage by ISP-specializing CLECs or CLEC-ISP alliances, some states (led by Massachusetts and Colorado) have taken steps to end inter-carrier compensation in its present form for such traffic.

Q. ON WHAT BASIS DO YOU CONCLUDE THAT THE FCC INTENDED TO ESTABLISH COST-BASED RATES FOR INTER-CARRIER COMPENSATION?

A. One need only look at the Telecommunications Act of 1996 ("the Act"). Section 252(d)(2)

(...continued)

98, First Report and Order ("Local Competition Order"), released August 19, 1996.

1 of the Act requires that inter-carrier compensation be paid “on the basis of a reasonable
2 approximation of the additional costs of terminating such calls.” Indeed, the FCC cites this
3 provision from the Act when it concludes that the ILEC’s cost of transport can be used as a
4 proxy for the costs incurred by interconnecting carriers.

5 **Q. WHY WOULD DR. SELWYN’S APPROACH RESULT IN RATES NOT BASED**
6 **ON COST?**

7 A. Any inter-carrier compensation received by an ALEC at a rate that does not reflect “a
8 reasonable approximation of the additional costs of terminating traffic” would fail to be
9 cost-based. To best convey the error in Dr. Selwyn’s position, consider two Scenarios, A
10 and B. In Scenario A, an ALEC receives compensation at the tandem rate, yet only incurs
11 the costs of end office termination (end office switching). In scenario B , an ALEC
12 receives compensation at the tandem rate, and incurs the costs of tandem termination
13 (tandem switching + transport + end office switching). I expect that Dr. Selwyn would
14 argue that both scenarios are appropriate for compensation at the tandem rate as long as the
15 geographic area served by the ALEC’s switch at its point of interconnection (“POI”) is
16 comparable to the geographic area served by BellSouth’s tandem. However, Dr. Selwyn’s
17 position would result in a rate for Scenario A that is not truly cost-based. Recall that in
18 Scenario A, the ALEC receives compensation at the *tandem rate*, yet *only incurs the costs*
19 *of end office termination*. This outcome is clearly at odds with both the provisions of the
20 Act and the policies adopted by the FCC in this regard.

21 **Q. WHAT IS WRONG WITH INTER-CARRIER COMPENSATION RATES THAT**

1 **ARE BASED SOLELY ON GEOGRAPHY AND NOT ON COST?**

2 A. First, as I noted above, that would conflict with both the Act and the FCC's own
3 regulations to implement the Act. For that reason alone, the Commission should ensure
4 that only cost-based rates are used for inter-carrier compensation.

5 Second, if the Commission were to determine that inter-carrier compensation rates
6 should be based solely on the size of a carrier's service area rather than also on a measure
7 of the carrier's termination costs, then the Commission would first have to resolve a
8 number of problematic issues. Specifically, the Commission would have to determine
9 what constitutes the geographic serving area of a tandem. Which tandem, and whose
10 tandem, should the Commission measure for that purpose? How should the serving area
11 itself be measured: on the basis of geography alone or with reference to the number of
12 access lines served?

13 Third, as is already evident with Internet-bound traffic, compensation rates that are not
14 cost-based create opportunities for arbitrage that tends to enrich the terminating carrier.
15 Moreover, because the arbitrage is triggered by a flaw in a regulatory policy, it is not likely
16 to be self-healing, i.e., the arbitrage will not itself be temporary and cure the distortion that
17 generates it in the first place.

18 **Q. DR. SELWYN ARGUES [AT 13] THAT "IT IS A GOOD THING" FOR AN ALEC**
19 **TO BE ABLE TO RECEIVE A HIGHER TANDEM RATE EVEN WHEN ITS**
20 **COSTS OF TERMINATION ARE BELOW THOSE OF AN ILEC THAT**
21 **PERFORMS SIMILAR FUNCTIONS. DO YOU AGREE?**

22 A. Absolutely not. This is a familiar argument, a variant of which Dr. Selwyn and others have

1 employed to justify inter-carrier compensation of ALECs at rates that exceed their true cost
2 to deliver Internet-bound traffic to ISPs. It is true that the FCC established the so-called
3 symmetry rule, which ties the inter-carrier compensation rate available to both the ILEC
4 and the ALEC to the ILEC's termination cost, regardless of the ALEC's own termination
5 cost. The FCC justified that rule by reasoning that symmetry in rates would force
6 symmetry in costs as well, i.e., induce ILECs to become more efficient and lower their
7 termination costs to at least the level of the ALEC's costs. However, at a practical level,
8 the Commission would find it almost impossible to enforce that rule to the satisfaction of
9 all parties, including itself.

10 First, the kind of symmetry in costs that the FCC hoped to induce cannot be
11 considered a certainty in a market in which one party (the ILEC) is regulated and subject to
12 franchise obligations while the other party (the ALEC) is essentially free to operate in any
13 manner it chooses, including regarding whom it serves and where and what services it
14 provides. The ILEC's costs are, in large part, driven by its regulatory circumstances, but
15 the ALEC's are not.² The ILEC cannot pick and choose customers to serve, or serve only
16 customers that receive more traffic than they originate. In contrast, the ALEC has all of
17 these options.

18 Second, an ALEC can construct a network that specializes in terminating (i.e.,
19 receiving incoming) traffic. This network can be configured differently than that of the
20 ILEC and avoids costs that a network providing several different services and features must

² For example, one reason why ILECs have more hierarchical architectures for switching than CLECs is because ILECs must serve low-density geographic areas and provide network access to many customers who generate

(continued...)

1 take on. The proliferation throughout the nation of ALECs that serve only ISPs
2 demonstrates this possibility. An ALEC network specialized in this manner may have a
3 lower unit termination cost to which even the most efficient ILEC could not aspire. Unlike
4 the specializing ALEC, the ILEC provides the call termination function as only one among
5 several other functions. For the ILEC to become “more efficient” with respect to any one
6 function is an ambiguous goal. It could conceivably do so by reallocating resources and
7 production priorities but that could happen, at least in the short run, at the expense of its
8 other services and functions. Alternatively, it could try to lower its costs in the long run by
9 adopting more efficient technologies, redesigning the network, and utilizing its human and
10 other resources differently. However, costs of a multi-service network are the outcomes of
11 a large number of complex interactions. Also, such a network has neither the luxury to re-
12 design its network from scratch (something to which new entrants could aspire), nor the
13 ability to upgrade to new technologies or network architectures in a continuous and
14 seamless manner.

15 Third, the asymmetry of the circumstances of the ILEC and the ALEC virtually
16 ensures that the ALEC would be able to take full advantage of any policy that guarantees
17 the ALEC a higher rate of compensation than the cost it incurs. The arbitrage that this
18 asymmetry makes possible can only lead to an endless transfer of revenues from the ILEC
19 to the ALEC with virtually no prospect of its reversal or of the arbitrage opportunity itself
20 disappearing. Despite its well-intentioned goals, the outcomes of this public policy cannot

(...continued)

very small amounts of local and toll traffic. CLECs generally do not seek out such customers.

1 be those expected by Dr. Selwyn.

2 Finally, in view of that asymmetry, the compensation each carrier receives should not
3 be allowed to differ significantly from *its* unit termination cost. Until that asymmetry
4 disappears, the effects of the policy advocated by Dr. Selwyn can never be beneficial to
5 society. Ironically, if a policy of symmetric compensation rates absolutely must be
6 retained, then it would be better to set the inter-carrier compensation rate at the level not of
7 the ILEC's (potentially higher) unit termination cost, but that of the ALEC's (potentially
8 lower) unit termination cost. This would still encourage the regulated entity (the ILEC) to
9 lower its unit termination cost (an outcome that Dr. Selwyn desires) while eliminating the
10 possibility of any arbitrage by the unregulated and unconstrained entity (the ALEC).

11 Although I do not necessarily advocate such a policy, it would at least have the salutary
12 effect of removing the arbitrage carrot and encouraging ALECs to become full service
13 providers, i.e., to compete with the ILEC for the full spectrum of local exchange services.

14 **Issue 13: How should a "local calling area" be defined, for purposes of**
15 **determining the applicability of reciprocal compensation?**

16 **Q. DO YOU AGREE WITH DR. SELWYN [AT 19] AND MR. GATES [AT 8-9] THAT**
17 **IT IS APPROPRIATE FOR ALECS TO ADOPT LOCAL CALLING AREA**
18 **DEFINITIONS THAT DIFFER FROM THOSE OF THE ILEC?**

19 A. Yes. In fact, I would expect ALECs to offer their customers local calling areas that differ
20 from the incumbent's local calling areas. Competition is expected to produce new service
21 options for customers. How an ALEC defines its local calling area for its own customers is
22 certainly one means of differentiating itself in the market.

1 **Q. SHOULD AN ALEC'S LOCAL CALLING AREA AFFECT HOW "LOCAL**
2 **CALLING AREA" IS DEFINED FOR PURPOSES OF RECIPROCAL**
3 **COMPENSATION?**

4 A. No. The local calling area for retailing purposes is entirely different from the local calling
5 area for interconnection purposes. The issue in this proceeding is how to define the local
6 calling area *for interconnection purposes*. While each ALEC should be permitted to
7 establish local calling areas for its own customers, the definition of a local calling area for
8 the purposes of paying reciprocal compensation is a different matter entirely. The most
9 appropriate mechanism by which to determine the local interconnection calling area for
10 compensation purposes is the use of negotiations between interconnecting carriers.
11 Interconnecting parties themselves are in the best position to negotiate where and how
12 interconnection should occur between their respective networks and whether local
13 interconnection or access charges should be the basis for inter-carrier compensation.

14 **Q. WHAT WOULD BE THE ECONOMIC CONSEQUENCES IF ILECs WERE**
15 **REQUIRED TO MATCH EACH ALEC'S CLAIMED LOCAL EXCHANGE**
16 **AREAS FOR RECIPROCAL COMPENSATION PURPOSES?**

17 A. Chaos. If inter-carrier compensation depended solely on the definition of the local
18 exchange area of the originating carrier, each terminating LEC would need to be able to
19 rate each call for reciprocal compensation according to its local exchange area definition
20 and of every other LEC in Florida. Today, each LEC switch uses a routing table that
21 references originating and terminating NPA-NXXs to classify calls as local or toll
22 according to the LEC's own definitions. If inter-carrier compensation were determined by

1 the local calling area of the originating LEC, each LEC would require routing tables for
2 every other LEC, and the classification process would become unwieldy.

3 In addition, the definitions of local calling areas for individual LECs are frequently
4 ambiguous and change over time. LECs should be free to define local calling areas for
5 their retail services in any way they choose. Thus, for each LEC, calls between particular
6 NPA-NXX pairs could be local in some retail packages and toll under other circumstances,
7 depending on the LEC's perceptions of its customers' needs.

8 LECs should, therefore, be free to negotiate to determine whether particular NPA-
9 NXX pairs represent local or toll calls for the purpose of reciprocal compensation.
10 Moreover, the classification for inter-carrier compensation purposes need bear no
11 relationship with the retail packaging process, so that LECs can change their retail
12 offerings without negotiating new rules for inter-carrier compensation.

13 **Issue 14:**

14 **(a) What are the responsibilities of an originating local carrier to transport**
15 **its traffic to another local carrier?**

16 **(b) For each responsibility identified in part (a), what form of compensation,**
17 **if any, should apply?**

18 **Q. DO YOU AGREE WITH DR. SELWYN [AT 37] THAT AN ALEC NEED**
19 **ESTABLISH ONLY ONE POINT OF INTERCONNECTION WITH AN ILEC**
20 **ANYWHERE IN EACH LATA?**

21 **A.** Yes. It is consistent with both the Act and the FCC's implementing rules for each ALEC
22 to be allowed to establish only one POI in each LATA for collecting local exchange traffic
23 headed to its network. Doing so allows competitors entering the market to build their

1 networks slowly, thus allowing them to expand their networks with growth in their
2 customer bases. Requiring ALECs to replicate the ILEC's network as a condition of entry
3 can be burdensome enough to become a barrier to entry.

4 **Q. SHOULD, AS DR. SELWYN SUGGESTS [AT 42], THE ORIGINATING CARRIER**
5 **BE REQUIRED TO CARRY *WITHOUT COMPENSATION* LOCAL EXCHANGE**
6 **TRAFFIC TO A TERMINATING CARRIER'S POI REGARDLESS OF WHERE IT**
7 **IS PHYSICALLY LOCATED IN THE LATA?**

8 A. No. This is where I disagree with Dr. Selwyn. ALECs have been granted an opportunity to
9 expand their facilities-based networks gradually with growth in their own customer bases.
10 However, this opportunity granted to ALECs by Congress and the FCC should not become
11 a "free ride" for them . Allowing ALECs to use one POI for interconnection is simply
12 recognition by regulators that replicating the ILEC's network for interconnection purposes
13 could be prohibitively costly and an entry barrier for potential competitors. A more cost-
14 effective strategy for these entrants is to purchase transport (that it cannot provide itself)
15 from other sources. Instead of ALECs building switches themselves in each local calling
16 area, ALECs have the opportunity to purchase transport from other carriers who may
17 already have a presence in those areas. The transport market is well established and stands
18 ready to offer ALECs these services.

19 Second, I note Dr. Selwyn's concern [at 41] with allowing an ILEC to dictate where
20 ALECs with which it interconnects should place their POIs or, as he puts it, allowing that
21 ILEC to "shift financial responsibility for some or all of the transport costs incurred on its
22 side of the POI to the ALEC." On this point, Dr. Selwyn offers the following "principle:"

1 ... a local carrier should be responsible for the costs of transport from the point
2 at which the call originates on its network to the POI. This principle must apply
3 whether or not the transport will extend beyond the originating caller's local
4 calling area.

5 Ironically, Dr. Selwyn expresses no concern for the possibility that this principle could
6 shift financial responsibility for transport back to the ILEC. Consider how such strategic
7 behavior could arise. Suppose the arrangement is for the originating carrier to pay for all
8 transport from its customer up to the POI and for the terminating carrier to absorb the cost
9 of transport from that POI to the called customer. The decision to locate the POI is itself
10 asymmetric: it is entirely the ALEC's call and the ILEC has no say (for reasons discussed
11 above). Now suppose the volume of traffic flowing from some of the ILEC's local calling
12 areas to the ALEC's network is disproportionately larger than the reverse flow of traffic.
13 That is, relatively little traffic is returned by the ALEC to those ILEC local calling areas.
14 Next, suppose that precisely the opposite is true for traffic flowing back and forth between
15 the rest of the ILEC's local calling areas and the ALEC's network. An ALEC that is free to
16 locate its POI would obviously seek to minimize its own costs of transport. This it could
17 easily do, in Dr. Selwyn's scheme of things, by locating its POI very close to the ILEC
18 local calling areas to which it *sends* a lot more traffic than it receives, and as far away as
19 possible from the other ILEC local calling areas from which it *receives* a lot more traffic
20 than it sends.³ While this perfectly rational cost-minimizing strategy would serve the
21 ALEC's interest, it would also maximize the shift of transport cost to the ILEC—a fact that
22 Dr. Selwyn simply chooses to ignore. The transport costs of the two carriers are a zero-

³ In some cases, the ALEC may even consider locating its POI *within* a local calling area to which it sends the most
(continued...)

1 sum game. What one carrier saves on transport cost by locating its POI in a particular
2 place becomes extra transport cost for the other. Therefore, while the ALEC should be free
3 to locate its POI anywhere in the LATA, it should not be absolved of all responsibility for
4 the manner in which it can shift the greatest “financial responsibility” for transport costs on
5 to the ILEC.

6 Third, both Dr. Selwyn [at 41-42] and Mr. Gates [at 22-23] argue that ALECs should
7 not be required to incur transport costs even if they choose to locate their POIs outside of
8 the local calling area in which the call originates. This principle mis-interprets FCC policy
9 which, in my reading, only requires the ILEC to deliver traffic to the ALEC’s POI within
10 the local service area in which the call originates. Moreover, the principle would violate
11 the economic foundation of reciprocal compensation for local exchange traffic in which it
12 is supposed that the costs incurred by the originating carrier are recovered from its local
13 exchange customers. If the ILEC is required to haul traffic outside its local calling area to
14 an ALEC POI, there is no possibility that local exchange rates recover the transport costs of
15 that call.

(...continued)

traffic, or even collocating at an ILEC switch in that local calling area.

1 **Issue 15:**

2 **(a) Under what conditions, if any, should carriers be permitted to assign**
3 **NPA/NXX codes to end users outside the rate center in which the NPA/NXX**
4 **is homed?**

5 **(b) Should the intercarrier compensation mechanism for calls to these**
6 **NPA/NXXs be based upon the physical location of the customer, the rate**
7 **center to which the NPA/NXX is homed, or some other criterion?**

8 **Q. DR. SELWYN ASSERTS [AT 44] THAT “CARRIERS...SHOULD BE ALLOWED**
9 **TO DEFINE BOTH THEIR OUTWARD AND INWARD LOCAL CALLING**
10 **AREAS...” DO YOU AGREE?**

11 A. Yes. For retail purposes, all carriers should be free to bundle and price local exchange
12 services in whatever manner they perceive their customers want. However, those
13 definitions of local calling areas for retail purposes should not necessarily be the definition
14 of local calling area for the purpose of determining whether the method of inter-carrier
15 compensation for interconnection is carrier access charges (for toll calls) or reciprocal
16 compensation (for local calls).

17 **Q. DO YOU AGREE WITH MR. GATES [AT 26-29] THAT ALECs SHOULD BE**
18 **PERMITTED TO ASSIGN NXX CODES TO CUSTOMERS OUTSIDE THE**
19 **LOCAL CALLING AREA?**

20 A. Yes. ALECs and ILECs should be free to offer foreign exchange-like services (“virtual
21 NXX service” in Mr. Gates’ terminology). However, assigning an NPA/NXX code to a
22 customer outside the rate center in which the NPA/NXX is homed does not change the
23 basic nature of the call. If the call originates and terminates in different local calling areas,
24 the call is a toll call and not subject to reciprocal compensation.

25 **Q. DR. SELWYN ARGUES AT LENGTH [AT 44-52, INCLUDING FIGURES 1-4]**

1 **THAT THE ILEC'S COSTS ARE NOT AFFECTED BY THE LOCATION AT**
2 **WHICH THE ALEC DELIVERS TRAFFIC TO ITS CUSTOMERS. MR. GATES**
3 **MAKES THE SAME POINT [AT 33]. DO YOU AGREE WITH THIS**
4 **CONCLUSION?**

5 A. In general, yes. The ILEC's costs are unaffected by the location of the ALEC's customer.

6 **Q. BOTH DR. SELWYN AND MR. GATES CONCLUDE FROM THIS FACT THAT**
7 **RECIPROCAL COMPENSATION, NOT ACCESS CHARGES, SHOULD BE PAID**
8 **FOR THIS VIRTUAL FX TRAFFIC. DO YOU AGREE?**

9 A. No, not at all. The originating carrier pays reciprocal compensation on local traffic while it
10 receives carrier access charges on toll traffic. Irrespective of costs, a virtual FX call is not a
11 local call; it originates in one local calling area and terminates in another, which makes it a
12 toll call.

13 The situation is identical to a toll call, where the LEC carries the call from its end
14 office to the interexchange carrier's point of presence ("POP"). When the POP is in the
15 local calling area of the originating end user, that call is functionally similar to a local call,
16 from the perspective of the LEC. However, such calls are not classified as local calls but
17 as carrier access calls. Carrier access rates rather than local usage rates are applied to those
18 calls, and the rates are set so that the LEC recovers its economic costs plus contribution (in
19 an amount determined by the regulator). While interexchange carriers would prefer to
20 classify switched access calls as local exchange calls—thereby avoiding access charges—
21 regulators do not permit it, recognizing that prices for other services (e.g., basic exchange
22 service) are set with the expectation of contribution from switched access service.

1 **Q. MR. GATES CLAIMS [AT 36] THAT LECs RECOVER THE COST OF**
2 **CARRYING VIRTUAL FX TRAFFIC FROM THEIR OWN CUSTOMERS. DO**
3 **YOU AGREE?**

4 A. No. First, virtual FX calls are not local calls, so they are not included in the count of calls
5 used to determine local usage costs for flat-rated local exchange service. In that sense,
6 local exchange rates were not set to recover these costs. Second, Mr. Gates distorts the
7 quotation from the FCC's TSR Order he purports to explain. That Order, as cited by Mr.
8 Gates [at 35-36], clearly reads

9 The originating carrier recovers the costs of these facilities through the rates it
10 charges its own customers *for making calls*. [Emphasis added]

11 Thus, the TSR Order is *not* talking about recovering traffic-sensitive costs of originating
12 local traffic from "subscriber line charges, vertical services..., universal service surcharges,
13 extended area service charges and contribution from access charges for intraLATA and
14 interLATA toll" as suggested by Mr. Gates [at 36]. Indeed, Mr. Gates appears to argue that
15 so long as sufficient sources of contribution exist to fund a subsidy to virtual FX traffic, the
16 LEC can be said to "recover its costs" of providing the service. Such an interpretation does
17 obvious violence to the intention of the Act which explicitly sought to remove implicit
18 subsidies from telecommunications prices.

19 **Q. DR. SELWYN CLAIMS [AT 53] THAT THE ONLY IMPACT ON THE ILEC OF**
20 **AN ALEC VIRTUAL FX SERVICE IS IN THE NATURE OF "A COMPETITIVE**
21 **LOSS." DO YOU AGREE?**

22 A. No. Reclassifying a virtual FX call from toll to local would represent a regulatory anomaly
23 or loophole, not a competitive loss. When the ILEC responds to customer demand for toll-

1 free calling, it offers FX service, in which callers dial toll-free numbers and the ILEC
2 recovers the cost of the service from the FX subscriber. As the call is classified as a toll
3 call, no reciprocal compensation is paid when an ALEC subscriber dials the FX number.
4 In contrast, the virtual FX service described by Dr. Selwyn is free to both the callers and
5 the FX subscriber, and, in addition, the ALECs that wish to provide it want to receive
6 reciprocal compensation from the ILEC when its customers dial the virtual FX number.
7 While both the ILEC and the ALEC are free to offer FX-like services under any pricing
8 structure they want, it is important that both ALEC and ILEC services be subject to the
9 same regulatory treatment. Since the call originates and terminates in different local
10 calling areas, it is not a local call and neither ALEC nor ILEC should pay reciprocal
11 compensation when its subscriber dials such a number.

12 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

13 A. Yes.

1 BY MR. EDENFIELD:

2 Q Did you prepare a summary of your testimony, Doctor
3 Taylor?

4 A Yes, I did.

5 Q Would you give that now, please, sir?

6 A Yes, thanks. Good evening. My rebuttal testimony
7 addresses the economic content of the various disputes in
8 applying the words of the Telecommunications Act and the FCC's
9 local competition order to the intricacies of intercarrier
10 compensation for termination of local traffic. These are
11 issues numbered 12 to 15 on your score card, and I address
12 really two questions.

13 First, there seems to be general agreement on at
14 least one thing, that ALECs should be absolutely free to
15 establish their services however they want, however they think
16 their customers want; that is, they can define their local flat
17 rate calling areas irrespective of how the ILEC has done it.
18 They can change it every night, they can do it any way they
19 like. That is what competition is supposed to bring.

20 Similarly, they can assign numbers, NXXs, wherever
21 they want. I didn't believe there is any issue that there is
22 any disagreement that both of those are a proper thing to do.
23 However, this flexibility in marketing should have no necessary
24 bearing on the classification of calls for the purpose of
25 assessing either reciprocal compensation for calls that are

1 local calls or carrier access charges if the calls are toll
2 calls.

3 Now, the economic characteristics of these calls may
4 be similar, but the LECs, ILECs, and ALECs should be free to
5 negotiate terms of local calling areas. The FCC definition of
6 what a local call is and what a long distance call is is
7 perfectly clear, and the rates that have been set historically
8 for ILEC services have assumed that the costs of calls within a
9 local exchange are recovered or not recovered, but in basic
10 exchange rates, and the cost of calls that go between local
11 exchanges are recovered or not recovered from toll and carrier
12 access charges. And undoing the distinction between toll and
13 local calls will create arbitrage opportunities between
14 reciprocal compensation and carrier access charges that I don't
15 think anyone intends.

16 The second general observation, economic principle,
17 is on the point of interconnection issue. When an ALEC's point
18 of interconnection is located outside the local calling area
19 where the call originates, the ALEC ought to be responsible for
20 the additional cost of transport from the local calling area to
21 the point of interconnection.

22 I won't go over the orders and the precedence because
23 I am just speaking as an economist. There is one good economic
24 reason why that is true. The economic foundation of reciprocal
25 compensation for local exchange traffic is kind of based on the

1 idea that the costs that an originating carrier incurs are
2 recovered from the local exchange carrier. So BellSouth has a
3 customer, a customer makes a call, a local call, BellSouth gets
4 the money from the customer. If BellSouth terminates the call
5 locally, that money is to cover the cost of termination. If
6 the call terminates to an ALEC customer, BellSouth takes the
7 money and gives it to the ALEC to terminate the call.

8 But the important thing is that the costs that are
9 incurred for local calls are recovered from -- or not recovered
10 from, but they are based on what the ILEC gets from the local
11 exchange customer. And that would be violated if the ALEC's
12 POI outside the local calling area did not create a revenue
13 stream back to the ILEC, because there is nothing in the local
14 exchange rates when these were set up to cover the costs of
15 transporting calls outside of the local calling area.

16 So these are the two main economic issues that I
17 raise in my testimony. I also discuss tandem switching, but
18 the FCC seems to have taken that one off the table. And that
19 concludes my summary.

20 CHAIRMAN JACOBS: Counselor, you stated that Mr.
21 Taylor had an exhibit. I don't find one for him.

22 MR. EDENFIELD: He referenced it in his testimony,
23 was it not attached? It is just his curriculum vitae. I will
24 put it this way, I will withdraw the exhibit if it wasn't
25 attached. I don't want to cause problems. I think the

1 Commission is familiar with Doctor Taylor.

2 CHAIRMAN JACOBS: Yes. Very well.

3 MR. EDENFIELD: My apologize for that. I know it
4 referenced it, but I didn't realize we didn't attach it.

5 Sorry. Doctor Taylor is available for cross.

6 CHAIRMAN JACOBS: Very well. Ms. Caswell.

7 Ms. Masterton.

8 MS. MASTERTON: No questions.

9 CHAIRMAN JACOBS: Mr. Lamoureux.

10 CROSS EXAMINATION

11 BY MR. LAMOUREUX:

12 Q I have hopefully just one question with no follow-up.
13 Hopefully. Page 15 of your testimony, Lines 8 through 10, you
14 say --

15 A Yes.

16 Q -- this, and you are referring to statements in
17 Doctor Selwyn and Mr. Gates' testimony?

18 A Correct.

19 Q And you say this principle misinterprets FCC policy
20 which in my reading only requires the ILECs -- I'm sorry, only
21 requires the ILEC to deliver traffic to the ALEC's POI within
22 the local service area in which the call originates.

23 My question is what FCC rule or regulation are you
24 reading that specifically says the ILEC is only required to
25 deliver traffic to the ALEC's POI within the local service area

1 in which the call originates?

2 A Actually that sentence standing by itself isn't quite
3 correct. It is not that the ILEC is required or is not
4 required to deliver traffic to the ALECs POI within the local
5 service area, it is without additional compensation that the
6 ILEC is not required to deliver the traffic. And the FCC
7 rule -- and I am embarrassed that I can't cite it, but it is
8 the one that relates to additional costs of expensive
9 interconnection; that is, when interconnection is either
10 technically more expensive, or in this sense for distance more
11 expensive that additional charges should be levied. And I
12 forget the rule.

13 Q Well, specifically you are referring to the same
14 paragraph from the local competition order that Mr. Ruscilli
15 was referring to, I think Paragraph 199, the one that talks
16 about an expensive form of interconnection?

17 A Yes, that is correct.

18 Q When you say "in my reading," that is specifically
19 what you are referring to for this principle?

20 A Yes.

21 Q Nothing else?

22 A Nothing else with respect to FCC policy, that is
23 correct.

24 MR. LAMOUREUX: That's all I have.

25 MR. McDONNELL: No questions.

1 CHAIRMAN JACOBS: Mr. Moyle.

2 MR. MOYLE: Just a quick question.

3 CROSS EXAMINATION

4 BY MR. MOYLE:

5 Q You have testified on numerous occasion in front of
6 this Florida Public Service Commission, have you not?

7 A Many, yes.

8 Q Have you ever provided testimony on behalf of an
9 ALEC?

10 A No.

11 MR. MOYLE: Nothing further.

12 MR. McGLOTHLIN: No questions.

13 CHAIRMAN JACOBS: Mr. Melson.

14 MR. MELSON: Just a couple.

15 CROSS EXAMINATION

16 BY MR. MELSON:

17 Q Doctor Taylor, Rick Melson representing MCI WorldCom.
18 I believe at the very end of your summary you said in essence
19 your discussion of Issue 12, which is the tandem compensation
20 rate, had been made moot by a recent FCC announcement. Did I
21 get that right?

22 A Yes, you did. The rule has been made moot; that is,
23 the FCC has stated quite clearly what it says it meant, even
24 though that isn't what I read that it said. But, yes, it is
25 moot in that sense, that there is no argument now about what

1 the FCC says it means.

2 Q And is it, therefore, fair to say that your testimony
3 about the FCC's intent in that rule and what the FCC must have
4 intended is testimony that essentially the Commission would be
5 justified in disregarding at this point?

6 A Yes. I looked carefully after the order from the FCC
7 came out, and actually the Commission should always disregard
8 people's testimony when they talk about intent. I mean, how
9 does anybody know what the FCC's intent is. On the other hand,
10 the Commission, the Florida Commission should pay careful
11 attention to the economics of it because at least, according to
12 Footnote 173 in the notice of proposed rulemaking of April
13 27th, 2001, the FCC does give flexibility to state commissions
14 on grounds that I think based on the economic arguments I make,
15 the Florida Commission would be wise to consider.

16 Q Well, I guess the bottom line, has the FCC -- would
17 you agree with me the FCC has now said that geographic coverage
18 alone is sufficient to entitle -- comparable geographic
19 coverage alone is sufficient to entitle an ALEC to the tandem
20 interconnection rate?

21 A Yes, I would agree with that. What the FCC has done,
22 though, is to fudge what they mean by geographic comparability.
23 And in discussing the New York PSC order and the Texas PSC
24 (sic) order, this is Footnote 173, they say both the Texas PUC
25 and the New York PSC concluded that large imbalances in traffic

1 flow strongly suggest that a carrier is serving a higher
2 proportion of convergent customers rather than a large
3 distribution of customers similar to those served by an ILEC
4 tandem switch. And they go on, but to me that is suggesting
5 what the FCC might consider to be a definition or an issue in
6 what comparable geographic service might mean.

7 Q But your testimony as filed does not deal with the
8 question of what comparable geographic service means?

9 A Oh, no, it does. And I do bring up where I talk
10 about this the problem of defining what geographic --
11 comparable geographic service is.

12 Q Exactly. And you say that is a problem the
13 Commission would face if they decided a geographic
14 comparability test apply. But you don't offer any standard by
15 which to measure geographic comparability, is that correct?

16 A That is correct.

17 MR. MELSON: Thank you. That's all I've got.

18 CHAIRMAN JACOBS: Doctor Taylor, on Page 9 of your
19 testimony --

20 THE WITNESS: Yes.

21 CHAIRMAN JACOBS: -- this is -- and it is an
22 interesting part of this discussion we have been having,
23 because one arguably could say that, and I am specifically
24 looking at Page 9, Lines -- the end of Line 3 down through Line
25 14.

1 THE WITNESS: Yes.

2 CHAIRMAN JACOBS: And you discuss this tension that
3 we are having here. And it sounds like you are concluding that
4 our evolution here into a competitive market should essentially
5 mean we stand pat, we don't pursue the efficiencies, at least
6 in the ILEC network, which seems to contradict the idea of a
7 forward-looking approach. And I am specifically looking at the
8 last sentence where it says, "Also, a network has the luxury to
9 design its network from scratch," which you argue shouldn't be
10 done, "nor the ability to upgrade to new technologies or
11 network architectures in a continuous and seamless manner."

12 I have always thought that that is exactly what is
13 happening in -- the latter part of that statement is exactly
14 what is happening in the network today. And what we are seeing
15 are technologies being evolved which are lower in cost and are
16 providing efficiencies.

17 THE WITNESS: Sure, I don't think this passage means
18 or should be taken to mean that the network ought to be static
19 or that we ought to set rates that would encourage the network
20 to be static. In fact, I go on on Page 10 to discuss sort of a
21 different way rather than using the interconnection rate
22 appropriate for the costs of the ILEC, which may for the
23 reasons we have put out on the paragraph on Page 9 be higher,
24 would equally be a -- it would equally encourage firms, the
25 ILECs and the ALECs alike to be more efficient if a common

1 symmetric interconnection rate were based on the lower of those
2 costs.

3 So, you know, all I am giving on Page 9 are reasons
4 why one network, a snapshot of one network is different from a
5 snapshot of an ALEC network. I mean, ILECs got to be where
6 they are because they have been serving people over time.
7 ALECs are coming in from scratch. Of course the networks are
8 different. But I don't think there is anything in the
9 reciprocal compensation proposals that we are talking about
10 here that asymmetrically discourage the ILEC from lowering its
11 costs.

12 CHAIRMAN JACOBS: It would then seem that we -- that
13 at least that your argument would lead to ultimate removal of
14 the symmetrical requirement, then, at least from the standpoint
15 of an ALEC. Arguably they are never going to see symmetrical
16 compensation.

17 THE WITNESS: No. I mean, I don't think that is
18 where I'm going. They are never going to see symmetric costs
19 in the sense that the ILEC network is always going to have
20 different cost characteristics for terminating traffic than the
21 ALEC network. That is probably a fact of life until 100 years
22 now when sort of everything has merged.

23 But that is costs, that is not rates. Symmetric
24 rates, I think, are the law of the land more or less. And I
25 don't think I am disagreeing with that as a principle. In

1 fact, I raise on Page 10 the notion that it might not be the
2 higher rate, but the lower rate at which we would have
3 symmetric compensation.

4 CHAIRMAN JACOBS: And my final question goes to
5 what -- how would you interpret then the FCC's statements.
6 And, I'm sorry, I don't have the quote, but I believe it was
7 cited in the testimony of Mr. Ruscilli as well as maybe Doctor
8 Selwyn, and it is that passage where the FCC says then if we
9 can't come up with some easy barometer here, then let's add up
10 what the transport and termination costs are of the ILEC and
11 figure out how to drive towards that.

12 THE WITNESS: Right.

13 CHAIRMAN JACOBS: That doesn't sound like they are
14 looking for a cost standard, per se, would you --

15 THE WITNESS: No, that is right. That does have the
16 characteristic, using the ILEC's costs as opposed to the ALECs'
17 costs, has the problem, the disadvantage that it is not
18 cost-based as far as the ALEC is concerned. And, yes, I think
19 the FCC recognizes that as a disadvantage. It encourages
20 arbitrage, it encourages lots of things that we would like to
21 avoid. On the other hand, I don't think we are arguing here
22 that we should abandon that standard.

23 CHAIRMAN JACOBS: Okay. Thank you. Any questions,
24 Commissioners? Staff.

25 MS. KEATING: Staff has no questions for Doctor

1 Taylor.

2 CHAIRMAN JACOBS: Redirect.

3 MR. EDENFIELD: None.

4 CHAIRMAN JACOBS: And no exhibits.

5 MR. EDENFIELD: Mr. Chairman, can Doctor Taylor be
6 excused?

7 CHAIRMAN JACOBS: Very well. Thank you, you are
8 excused, Doctor Taylor.

9 THE WITNESS: Thank you, sir.

10 CHAIRMAN JACOBS: Next witness.

11 MR. EDENFIELD: That concludes BellSouth's
12 presentation.

13 CHAIRMAN JACOBS: Very well. Verizon, I think your
14 first witness is --

15 MS. CASWELL: Verizon calls Doctor Beauvais.

16 CHAIRMAN JACOBS: Well, why don't we do Mr. Jones and
17 get his into the record?

18 MS. CASWELL: Yes, that's a good idea. Mr. Jones had
19 only direct testimony, and if I could ask that that be moved
20 into the record at this time.

21 CHAIRMAN JACOBS: Without objection, show the direct
22 testimony of Mr. Jones is entered into the record as though
23 read.

24 MS. CASWELL: And Mr. Jones also had two exhibits, I
25 believe, actually HLJ-3 through HLJ-6, and I would like those

1 marked for identification and moved into the record, please.

2 CHAIRMAN JACOBS: Very well. Do they need separate
3 identification?

4 MS. CASWELL: A composite is fine.

5 CHAIRMAN JACOBS: Very well. We will mark that
6 composite as Exhibit 13.

7 MS. CASWELL: I think it is 14 actually.

8 CHAIRMAN JACOBS: No, we never --

9 MS. CASWELL: Oh, he withdrew his. I'm sorry, it is
10 13. Thank you.

11 CHAIRMAN JACOBS: Very well. You may proceed. I'm
12 sorry, did you ask for those to be admitted? Without
13 objection, we will show Composite Exhibit 13 is admitted into
14 the record.

15 MS. CASWELL: Thank you.

16 (Composite Exhibit 13 marked for identification and
17 admitted into the record.)

18

19

20

21

22

23

24

25

1 **DIRECT TESTIMONY OF HOWARD LEE JONES**

2

3 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

4 A. My name is Howard Lee Jones and my business address is 600 Hidden
5 Ridge, Irving, Texas 75038.

6

7 **Q. ARE YOU THE SAME HOWARD JONES WHO SUBMITTED DIRECT
8 AND REBUTTAL TESTIMONY ON BEHALF OF VERIZON FLORIDA
9 INC. IN PHASE I OF THIS PROCEEDING?**

10 A. Yes.

11

12 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

13 A. I will address Phase II issue number 11, which asks what types of local
14 network architectures are currently employed by incumbent local
15 exchange carriers (ILECs) and alternative local exchange carriers
16 (ALECs), and what factors affect their choice of architectures. I
17 understand this is an informational issue for the Commission, and that it
18 requires no Commission action.

19

20 **Q. WHAT TYPES OF NETWORK ARCHITECTURES DOES VERIZON
21 CURRENTLY USE FOR ORIGINATION OF CALLS?**

22 A. Verizon employs primarily analog copper loop customer premise
23 connections to circuit switches or end offices located roughly every three
24 to five miles apart. Almost half the time, the copper loops are "line-
25 concentrated" at either a remote switching unit or a remote line unit before

1 reaching their full-featured serving end office. The transport from these
2 remote units to the end office is usually fiber optic time division
3 multiplexed transport facilities, such as DS-1 or DS-3 facilities. In the
4 case of copper loops directly reaching the end office, these are line-
5 concentrated at the end office, rather than remotely. In both cases,
6 approximately four customer loops share one call path into the call
7 switching equipment of the end office.

8
9 Verizon is a longstanding incumbent carrier of last resort, and its network
10 is ubiquitous. As such, its network architecture has not grown from any
11 single, comprehensive plan, but has evolved over many decades, taking
12 in equipment and design factors appropriate to the time and mode of
13 regulation. To the extent that network performance enhancement
14 opportunities have been available and their costs justifiable over a long
15 depreciation period, Verizon has implemented these enhancements
16 without delay. But as I discuss later, the network architecture of an
17 incumbent carrier should not be the only cost factor considered in the
18 determination of an appropriate methodology for reciprocal compensation;
19 the cost of the ALEC's network must be considered, as well.

20

21 **Q. WHAT TYPE OF NETWORK ARCHITECTURE DOES VERIZON USE TO**
22 **TRANSPORT CALLS BETWEEN END OFFICE SWITCHES SERVING**
23 **END USERS?**

24 **A.** Within and between metropolitan areas, inter-office transport is generally
25 provided over fiber-optic self-healing rings. Fiber optic facilities will also

1 likely be used in rural or less densely populated areas, but the inter-office
2 route will be point-to-point transport without the self-healing ring
3 configuration. In both metropolitan and rural areas, many of the transport
4 links will be direct interoffice routes with no intermediate or tandem
5 switching points. In other words, traffic originated in Hyde Park will go
6 directly to Temple Terrace.

7

8 **Q. WHEN ARE TANDEM SWITCHES USED?**

9 A. Tandem, or intermediate, switches do not serve end users and are used
10 primarily as overflow switching points when direct trunks are fully
11 occupied. Tandem switches are also used as intermediate switching
12 points if the end office pairs (originating office and terminating office) do
13 not have enough traffic to justify the 24-path DS-1 direct trunks. Tandem
14 switches will have an average of 40 - 50 subtending end offices and serve
15 as either local only or toll and local tandems. It is important to note that
16 tandem switches, by definition, only switch traffic between their
17 subtending end offices or the end offices of ALECs. So if a company is
18 not providing switching between two or more separate and distinct local
19 end offices, it is not performing a tandem function.

20

21 **Q. WHAT KIND OF NETWORK ARCHITECTURE DOES VERIZON USE TO**
22 **DELIVER CALLS TO ISPS?**

23 A. The attached schematic, (Ex. HLJ-3) shows the "ILEC PRI Model," which
24 applies when the ISP is served solely by Verizon. On the left side of the
25 schematic are multiple Verizon end offices with many alternative routes

1 for traffic to reach the ISP premise on the right side of the vertical bar.
2 Ultimately, in most cases, Verizon will route the traffic to the ISP premise
3 based upon efficient traffic engineering principles from a single end office,
4 even though the traffic could potentially traverse a widely distributed set
5 of intermediate transport paths. The service to the ISP premise will most
6 likely be an end office trunk based multi-line loop of either copper DS-1 or
7 fiber optic DS-3 facility.

8

9 **Q. IS THE ILEC PRI MODEL THE ONLY NETWORK ARCHITECTURE**
10 **VERIZON USES TO SERVE ISPS?**

11 **A.** No. The CyberPOP model shown in Exhibit HLJ-4 is the other common
12 architecture allowing Verizon to provide service to ISPs. CyberPOP is a
13 federally tariffed service providing ISPs a dial-up modem and connection
14 to Verizon's switch. With CyberPOP service, the ISP obtains special
15 access to transport packetized dial-up traffic to an interexchange carrier
16 or internet backbone network.

17

18 **Q. WHAT CONCLUSIONS CAN BE DRAWN FROM THE VERIZON**
19 **NETWORK SCHEMATICS?**

20 **A.** Exhibits HLJ-3 and HLJ-4 both show how Verizon manages the routing of
21 high-volumes of traffic from a carrier's network destined for a specific
22 location. In the ILEC PRI model (Ex. HLJ-3), the objective is to connect
23 the end office switch with the dial-up modems handling high volumes of
24 traffic. This is accomplished by aggregating all dial-up traffic bound for a
25 given ISP from the ILEC's dispersed network to a single point and then

1 routing this traffic to the dial-up modems over a facility that is designed to
2 efficiently accommodate a high volume of traffic. The same holds true for
3 the CyberPOP model (Ex. HLJ-4), except that the connection to the
4 internet backbone is accomplished directly, without an ISP premise.

5

6 **Q. WHAT TYPE OF FACILITY ARRANGEMENT IS TYPICALLY USED TO**
7 **TRANSPORT TRAFFIC FROM THE ILEC'S END-OFFICE SWITCH TO**
8 **THE ISP'S DIAL-UP MODEMS?**

9 A. Since the traffic is highly concentrated and one-directional, the typical ISP
10 serving arrangement is a trunk-to-trunk type of network configuration.
11 These trunk-to-trunk arrangements are very different than the network
12 architecture used to serve residential and small-to-medium sized
13 businesses.

14

15 **Q. ARE THERE OTHER REASONS WHY ISPS PREFER TO BE SERVED**
16 **BY A TRUNK TO TRUNK ARRANGEMENT SUCH AS ISDN PRI?**

17 A. Yes. There are customer service issues that would make ISDN PRI
18 desirable. For example, ISDN PRI allows the ISP to provide connectivity
19 to its dial-up customers at speeds up to 56 kbps, whereas an ordinary
20 business line connection will not. Since 56 kbps modems are the most
21 widely used method of connecting on a dial-up basis, it would be
22 detrimental to an ISP's service level if it could not meet this customer
23 demand.

24

25 **Q. DO THE ALECS USE NETWORK ARCHITECTURES SIMILAR TO**

1 **THOSE OF THE ILEC?**

2 **A.** The ALECs, of course, are the only entities with firsthand knowledge of
3 their network architecture choices, so the Commission should seek
4 comprehensive answers directly from them on this point. I can, however,
5 make certain general observations about ALEC network architecture,
6 based upon industry publications and my knowledge of industry network
7 design practices and equipment efficiencies available to carriers that may
8 have a relatively high proportion of Internet-bound traffic to traditional
9 voice traffic. I would advise the Commission to view with skepticism ALEC
10 claims that their networks are similar to the ILECs' networks; in fact, very
11 different factors affect the ILECs' and ALECs' choice of network
12 architecture.

13

14 ALECs that target specific customer sets, like ISPs, will deploy different
15 architectures that can most efficiently serve those customers. As an
16 example to demonstrate ALEC network architecture, I have diagrams and
17 information obtained from NaviNet industry forum presentations (Ex. HLJ-
18 5, Mar. 1, 2000 NaviNet Presentation; Ex. HLJ-6: Sept. 14, 1999 NaviNet
19 Presentation.) NaviNet is a firm that acts as a broker between ISPs and
20 ALECs to establish network architectures using SS7 Gateways.

21

22 **Q. WHAT DOES DIAGRAM 1 (BATES-STAMPED PAGE 183) IN EX. HLJ**
23 **–5 SHOW?**

24 **A.** This diagram shows a joint provisioning of ISP service by the ILEC and the
25 ALEC.

- 1 • The left side of the diagram shows the ILEC origination, multiple
2 switching and transport of the ISP call.
- 3 • The middle part shows the ALEC end office which serves the ISP
4 premise. The trunks labeled "IMT" (inter-machine trunks) go from the
5 ILEC end office or tandem directly to the Remote Access Server (RAS)
6 or dial-up modem, thus bypassing the ALEC switch.
- 7 • The right side shows the ISP dial-up modems. In this diagram, the
8 ILEC switch is replaced as the end office serving the ISP when
9 compared to Exhibit HLJ-3 that I discussed earlier.

10

11 **Q. WHAT DOES DIAGRAM 2 (BATES-STAMPED PAGE 183) IN EX. HLJ**
12 **-5 SHOW?**

13 **A.** Diagram 2 shows a form of joint provisioning of ISP service with trunk-to-
14 trunk switching between the ILEC and ALEC utilizing SS7 signaling.

15

16 **Q. WHAT DO THE NETWORK ARRANGEMENTS SHOWN IN THE**
17 **DIAGRAMS IN EXHIBIT HLJ-5 INDICATE?**

18 **A.** The diagrams in Exhibit HLJ-5 demonstrate that ALECs have different
19 ways to manage high volume traffic destined for the dial-up modems of
20 ISPs. Some of these methods, such as that shown in Diagram 1, at page
21 183 of Exhibit HLJ-5, involve the complete bypass of the CLEC's switch.
22 Other methods, such as that shown on the bottom of Diagram 2 at page
23 183, Exhibit HLJ-5, involve the use of traffic management techniques,
24 such as trunk-to-trunk switching utilizing SS7 signaling. Both diagrams
25 show the kinds of traffic management tools available and actively

1 marketed to ALECs today.

2

3 **Q. DO CLECS, IN FACT, USE THESE ALTERNATIVE METHODS OF**
4 **TRAFFIC MANAGEMENT?**

5 **A.** The Sept. 14, 1999 NaviNet presentation included as Exhibit HLJ-6
6 shows, on Bates-stamped page 195, a deployment status of ten POPs,
7 with 6,000 to 12,000 ports per POP. Therefore, we can be reasonably
8 sure the ALEC clients of this broker can and do make use of this network
9 architecture.

10

11 **Q. WHAT FACTORS WOULD INFLUENCE AN ALEC'S DECISION ON THE**
12 **TYPE OF NETWORK ARCHITECTURE TO DEPLOY?**

13 **A.** The primary factor driving the determination of network deployment would
14 be the business plan of the ALEC. ALECs who target ISPs serving dial-up
15 customers would likely deploy an architecture that is designed to
16 efficiently handle a high volume of one directional traffic. As
17 demonstrated by Diagram 3, at page 187 of Exhibit HLJ-5, the cost of
18 providing service to an ISP is significantly lower using inter-machine
19 trunks ("IMTs") when compared to the use of ISDN PRIs. For example,
20 the cost of providing service to an ISP, on a DS-0 basis, ranges from \$0
21 to \$22 per month when using inter-machine trunks ("IMTs"). This cost
22 increases to \$17-\$43 a month per DS-0 when using ISDN PRI. Therefore,
23 an ALEC that is targeting ISPs would most likely find the lower cost of
24 provisioning service attractive and deploy SS7 based IMTs in their
25 network architecture.

1

2 **Q. CAN YOU PLEASE SUMMARIZE YOUR TESTIMONY?**

3 **A.** ALECs and ILECs can be expected to have different types of network
4 architecture because their network choices have been driven by different
5 factors. The ILEC, as the carrier of last resort, serves a dispersed and
6 diverse array of customers. Its network has evolved over many decades,
7 with design factors influenced by regulatory directives and the state of
8 technology at particular points in time. ALECs, on the other hand, are free
9 to focus on particular customer sets (for example, ISPs) and so will design
10 their networks to most efficiently serve these particular customers. Their
11 networks are all relatively new. The ALECs' newer and more efficient
12 networks (for the customers served) can be expected to produce lower
13 costs relative to the ILECs' networks. If the Commission chooses to
14 establish a reciprocal compensation mechanism, it should consider the
15 difference in networks and cost characteristics as between ALECs and
16 ILECs.

17

18 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

19 **A.** Yes it does.

20

21

22

23

24

25

1 MS. CASWELL: Chairman, would you like to do the
2 other witness, Verizon witness that is to be stipulated, which
3 is Elizabeth Geddes, or would you like to remain --

4 CHAIRMAN JACOBS: No, we can just go ahead and do it
5 now. That would be good.

6 MS. CASWELL: Elizabeth Geddes also had only direct
7 testimony, and at this time I would like that to be moved into
8 the record as though read.

9 CHAIRMAN JACOBS: Without objection, show the
10 prefiled direct testimony of Elizabeth Geddes is entered into
11 the record as though read.

12 MS. CASWELL: And she had no exhibits.

13 CHAIRMAN JACOBS: Very well.

14 MS. CASWELL: Thanks.
15
16
17
18
19
20
21
22
23
24
25

1 **DIRECT TESTIMONY**
2 **OF**
3 **ELIZABETH A. GEDDES**
4

5 **Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND**
6 **OCCUPATION.**

7 **A.** My name is Elizabeth A. Geddes. My business address is 2107
8 Wilson Boulevard, Floor 11, Arlington, Virginia 22201. I am
9 employed by Verizon Network Services Group as a member of the
10 Technical Staff.

11

12 **Q. PLEASE DESCRIBE YOUR EDUCATIONAL BACKGROUND AND**
13 **PROFESSIONAL EXPERIENCE.**

14 **A.** I received a Bachelors of Science in Mechanical Engineering from
15 University of Notre Dame and a Masters of Science in Applied
16 Biomedical Engineering from Johns Hopkins University. I have three
17 years of experience in the telecommunications industry.

18

19 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**
20 **DOCKET?**

21 **A.** The purpose of my testimony is to address issue 16(a): What is the
22 definition of Internet Protocol (IP) telephony?

23

24 My testimony will focus exclusively on the technical aspects of IP
25 telephony. Issue 16b, concerning compensation for IP telephony, will

1 be addressed by Verizon witness Dr. Edward Beauvais.

2

3 In order to understand IP Telephony, it is helpful to first define the
4 terms "Internet" and the underlying suite of protocols upon which the
5 Internet relies .

6

7 **Q. WHAT IS THE "INTERNET"?**

8 **A.** The term "internet" refers to any collection of connected networks.

9 The "Internet" (with a capital I) is a worldwide collection of
10 interconnected computer networks that got started in the late 1960s
11 when the U.S. Department of Defense's (DoD's) Advanced Research
12 Projects Agency (ARPA) funded a research project that led to the
13 development of ARPANET, an experimental network that
14 demonstrated the feasibility of connecting computers via a packet-
15 switched network. ARPANET has since evolved into the Internet,
16 which connects thousands of networks worldwide. Today, a variety
17 of applications such as email, file transfers, "surfing" the World Wide
18 Web (WWW), and some forms of Internet Protocol (IP) telephony are
19 concurrently run over the Internet.

20

21 **Q. WHAT IS "INTERNET PROTOCOL"?**

22 **A.** "Internet Protocol" is a standard protocol that provides a
23 connectionless, unconfirmed transmission and delivery service.

24

25 The International Organization for Standardization (ISO), a worldwide

1 federation of national standards bodies from some 110 countries,
2 developed a model that permits unique systems to communicate
3 regardless of their underlying architecture. The components that
4 comprise this model, which I will describe in more detail, are
5 commonly referred to as a protocol. This model is known as the
6 Open Systems Interconnect (OSI) model, which consists of seven
7 distinct layers. Each layer performs a distinct function that is
8 transparent to each of the other layers, and, each layer can only
9 communicate with the layers immediately above and below it.

10

11 The Internet relies on the Transmission Control Protocol/Internet
12 Protocol (TCP/IP) suite of protocols, which, although not part of the
13 OSI model, roughly corresponds to the layers in the OSI model. The
14 OSI model consists of seven layers as follows (beginning with layer
15 one): the physical layer, the data link layer, the network layer, the
16 transport layer, the session layer, the presentation layer and the
17 application layer. (Generally, layers 5 and 6, the session and
18 presentation layer respectively, are not employed by the TCP/IP suite
19 of protocols.) A packet is really just the data associated with the
20 application layer wrapped inside a transport protocol packet that, in
21 turn, is wrapped in a network protocol packet, and so forth.

22

23 Although the Internet consists of networks that rely on different lower
24 layer technology (i.e., layers 1 and 2), each of these networks
25 primarily relies on the TCP/IP suite of protocols for their higher layers

1 (i.e., layers 3 – 7). The Internet Protocol (IP), which roughly
2 corresponds to layer 3 of the OSI model, the network layer, is
3 designed for routing a packet to its destination. IP is a protocol that
4 provides a connectionless, unconfirmed delivery service.
5 Connectionless means that no handshaking occurs between IP nodes
6 prior to sending data. Unconfirmed means that IP sends a packet
7 without sequencing and without an acknowledgment that the
8 destination was reached. Instead, IP makes a best effort to deliver
9 packets to its final destination. The IP header contains information
10 necessary for routing the packet, including source and destination IP
11 addresses. Because each router decides independently where to
12 forward a packet, a packet's path between two sites is not necessarily
13 the same as the next packet's path. Additionally, because of various
14 transit delays, each packet can arrive in a different order from which
15 it was sent. Higher layer protocols may be employed for reliable
16 transport of IP packets. For example, the Transmission Control
17 Protocol (TCP), which roughly corresponds to layer 4 of the OSI
18 model, the transport layer, is designed for reliable transmission of a
19 packet. Alternatively, another transport layer protocol, User Data
20 Protocol (UDP) is designed for "best effort," unconfirmed transport of
21 IP packets. While IP combined with TCP is an ideal protocol suite for
22 the transmission of data packets for email and "surfing" the Internet,
23 most IP Telephony applications rely on IP combined with UDP, for
24 optimal transport of real-time voice packets.

25

1 **Q. PLEASE DESCRIBE THE BASIC UNDERLYING TECHNOLOGY**
2 **EMPLOYED IN IP TELEPHONY.**

3 **A.** IP Telephony encompasses a very diverse array of applications
4 ranging from the somewhat crude conversation conducted between
5 two users via their personal computers to the more innovative “click
6 to talk” application in which a user, by selecting a hyperlink on a web
7 page, is instantly connected to a live representative in a call center.
8 While there may not be a single definition for IP Telephony, IP
9 Telephony generally refers to voice or facsimile telephony services
10 that are at least partially transported over an IP network in lieu of the
11 traditional circuit-switched network. (While, today, the Public
12 Switched Telephone Network (PSTN) primarily relies on a circuit-
13 switched network, in the future, the PSTN may employ a packet-
14 switched network in place of portions of the existing circuit-switched
15 network. It is therefore somewhat misleading to simply contrast IP
16 Telephony with the PSTN.) The basic steps involved in an IP
17 telephony call are the conversion of the analog signal to a digital
18 signal and the subsequent translation of that signal to packets of data
19 for transmission over a packetized network. The reverse process
20 occurs at the packets’ receiving end, where the many packets are
21 reassembled in the proper sequence, and then converted back to
22 analog. Thus, IP telephony is typically achieved in combination with
23 the PSTN.

24

25

1 **Q. PLEASE DESCRIBE THE TECHNICAL CHARACTERISTICS OF IP**
2 **TELEPHONY.**

3 **A.** Transporting voice over an IP network, rather than over the traditional
4 circuit switched network, increases bandwidth utilization efficiency of
5 the network in three ways. First, it allows the consolidation of voice
6 and data onto one single network rather than having to maintain two
7 separate costly networks. Secondly, it only occupies bandwidth when
8 there is data (i.e., voice packets) to transmit. In a circuit-switched
9 network, when a user makes a telephone call, a dedicated path is
10 allotted to those end users. In an IP network, voice packets are
11 transmitted over a shared network in a "best effort" manner. During
12 periods of silence in a telephone conversation, a circuit-switched
13 network continues to reserve that bandwidth because it has been
14 dedicated to those users even though the conversation is idle. In a
15 packet-switched network, bandwidth is not occupied during those
16 times of silence, leading to increased efficiency throughout the
17 network. Thirdly, by employing complex compression algorithms in
18 the analog to digital conversion, the voice channel may occupy
19 significantly less bandwidth than occupied on a standard Time
20 Division Multiplexed (TDM) telephony channel, used in circuit-
21 switched networks. However, degraded quality of service, as
22 compared to circuit-switched networks, is a consequence of this
23 increased efficiency.

24

25 As I mentioned above, IP telephony is an unconfirmed delivery

1 service. An efficiency/service quality trade-off arises because each
2 router independently determines a packet's path and different packets
3 may arrive at a destination at different times and out of sequence.
4 Some packets may never even reach their destination. These factors
5 lead to increased latency, jitter and packet loss, all of which contribute
6 to the degradation in the quality of service. Jitter is the random
7 variation in the time it takes a packet to reach its destination. Latency
8 is the time it takes for a packet to cross a network connection, from
9 sender to receiver. While latency is not generally an issue for non-real
10 time services (e.g., "surfing" the Internet), in real-time, two-way
11 communications such as telephony, latency over a certain threshold
12 may lead to intolerable service quality. Similarly, if too many packets
13 are lost, then this may lead to intolerable service quality (i.e., at the
14 receiving end of the conversation, the sound may appear broken up).

15

16 **Q. IS THERE A DIFFERENCE BETWEEN IP TELEPHONY AND**
17 **PACKET-BASED TELEPHONY?**

18 **A.** Yes. It is important to make a distinction between packet-based
19 telephony and IP Telephony. Packet-based telephony is a more
20 general term for IP Telephony, indicating that the underlying network
21 is based on IP rather than some other type of network (e.g., ATM or
22 Frame Relay). (To make matters even more complicated, IP packets
23 may be carried as payload inside ATM cells or Frame Relay frames.)
24 Many types of packetized telephony fall under the purview of packet-
25 based telephony, including IP Telephony, Voice over Asynchronous

1 Transfer Mode (VoATM), and Voice over Frame Relay (VoFR).

2

3 **Q. IS IP TELEPHONY CARRIED OVER THE SAME INTERNET USED**
4 **FOR “SURFING” THE WWW AND EMAIL?**

5 **A.** A common misconception is that IP Telephony only refers to
6 telephony carried over the Internet (with a capital I), which is the
7 network used to “surf” the WWW and to send and receive email. In
8 reality, the underlying IP network used in IP telephony just as easily
9 may be a private internet as the Internet. In fact, in many cases, a
10 private internet is used in IP telephony in order to increase the quality
11 of service. There is a term, Internet Telephony, that encompasses
12 only telephony sent over the Internet. Internet Telephony is a subset
13 of IP Telephony. However, for simplicity, for the remainder of these
14 comments, I will use the term Internet to include both the Internet and
15 private internets.

16

17 **Q. PLEASE DESCRIBE THE DIFFERENT CONFIGURATIONS OF IP**
18 **TELEPHONY.**

19 **A.** There are many different possible configurations of IP Telephony. IP
20 Telephony may be offered between two Personal Computers (PCs),
21 between two telephones or between a telephone and a PC. Following
22 is a brief overview of these three different configurations of IP
23 telephony.

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. WHAT IS PC-TO-PC IP TELEPHONY?

A. Originally, IP Telephony was a telephony application between two Personal Computers (PC). For PC-to-PC IP telephony, each PC requires an active connection to the Internet, a sound card, a microphone, and speakers. Additionally, for the most part, both PCs need to be running the same application software. (For example, a user running DialPad software could not successfully make a call to another user with a PC running Net2Phone software since the two pieces of software are not interoperable.) Typically, the caller "dials" a person by selecting someone from a list of users currently on-line who are able to receive calls. Since the PSTN is not used to switch the call, user names rather than the traditional 7- or 10-digit North American Numbering Plan (NANP) telephone numbers are used to identify the desired terminating party. In fact, the only PSTN resources used in this service are the facilities used to connect to the Internet via an Internet Service Provider (ISP).

Communication between users is limited to the set of users who have an active connection set-up to the Internet, and further limited to the subset of users equipped with identical application software running on their PCs. Because of these limitations, PC-to-PC IP telephony, although a rudimentary form of telephony, probably cannot serve as a substitute for the PSTN.

1 **Q. WHAT IS PC-TO-PHONE IP TELEPHONY?**

2 **A.** PC-to-Phone IP telephony employs a single gateway. With the
3 introduction of gateways, IP Telephony could be offered as a
4 telephony service between a PC and a conventional telephone,
5 significantly expanding the range of the service. (A gateway is
6 software or hardware that permits communications between two
7 different networks based on different protocols. For example, an IP
8 telephony gateway translates IP packets to Pulse Code Modulated
9 (PCM) traffic suitable for travel over the PSTN and vice versa.) In PC-
10 to-Phone IP Telephony, beyond the gateway, the PSTN will be used
11 to switch the call to the termination telephone. Therefore, users now
12 must "dial" a terminating party by inputting a 7- or 10-digit NANP
13 telephone number. Additionally, the PC-to-Phone configuration
14 requires only one party, the calling party, to have a PC and an active
15 Internet connection.

16
17 **Q. PLEASE PROVIDE EXAMPLES OF APPLICATIONS OF IP
18 TELEPHONY THAT RELY ON A PC-TO-PHONE CONFIGURATION.**

19 **A.** An application of the PC-to-Phone configuration, which is gaining
20 popularity in the e-commerce world, is "Click to Talk." In this
21 application, by simply clicking on a designated web page hyperlink,
22 a user may be instantly connected to a live representative in a call
23 center to answer questions or provide additional information. In this
24 scenario, the user "dials" by the click of a button. For dial-up users
25 with one telephone line for voice and data, this permits users to have

1 their questions answered while on-line, rather than having to
2 disconnect to make the phone call.

3
4 Another application of this configuration, with a twist, is popular with
5 customers who want to consolidate their voice and data traffic onto a
6 single network. For example, large business customers whose voice
7 network employs either a PBX switch on their premise or Centrex
8 service, which is provided by their telephone carrier, may consolidate
9 their voice network onto their existing Local Area Network (LAN). In
10 an IP PBX configuration, a gateway compatible with their existing
11 PBX may be deployed to translate the packetized voice traffic to traffic
12 suitable to travel over the PSTN. In a Centrex configuration, a
13 telephone carrier may provision an IP Centrex service in which the
14 gateway is deployed next to the Centrex switch in the carrier's central
15 office. In either IP PBX or an IP Centrex configuration, an IP phone
16 may be used in lieu of a PC in a configuration similar to the PC-to-
17 Phone configuration described above. An IP phone, used on an
18 Ethernet LAN connection, may be designed to look and work just like
19 a conventional Plain Old Telephone Service (POTS) phone, but it
20 plugs into an Ethernet RJ-45 wall jack instead of the traditional RJ-11
21 analog telephone jack. In this scenario, the functionality of a PC used
22 for IP Telephony is placed in an IP phone. That is, the digitization of
23 an analog voice signal and subsequent packetization actually occurs
24 in an IP phone rather than in a PC. Users may directly dial both users
25 served by the PSTN and users served by other IP phones.

1

2 **Q. WHAT IS PHONE-TO-PC IP TELEPHONY?**

3 **A.** Phone-to-PC IP telephony also employs one gateway. To initiate a
4 call, typically, the originating party first has to dial an access
5 telephone number to access a gateway. Once a connection is
6 established with the gateway, the party dials the terminating party's
7 telephone number, again using 7- or 10- digit NANP telephone
8 numbers from a conventional POTS telephone. The telephone
9 number is a unique telephone number that has been assigned to a
10 user who has registered for this particular service. The PSTN routes
11 the call to a gateway that connects the PSTN to the Internet. In
12 Phone-to-PC IP Telephony, beyond the gateway, the Internet will be
13 used to route the call to the terminating party. The Phone-to-PC
14 configuration requires the called party, rather than the calling party,
15 (as in the PC-to-Phone configuration) to have a PC and an active
16 Internet connection.

17

18 **Q. WHAT IS PHONE-TO-PHONE IP TELEPHONY?**

19 **A.** Phone-to-Phone IP telephony employs two gateways instead of just
20 the one gateway that is used in PC-to-Phone IP telephony. With the
21 employment of two gateways, the scope of IP Telephony was further
22 expanded to permit IP Telephony service between two conventional
23 telephones. In this configuration, neither party is required to use a PC
24 or to be connected to the Internet. To initiate a call, the originating
25 party may first have to dial an access telephone number to access a

1 gateway. (If the party directly dials the terminating party's telephone
2 number, the call will be routed over the default route, which is usually
3 the PSTN.) Once a connection is established with the gateway, the
4 party dials the terminating party's telephone number, again using 7-
5 or 10- digit NANP telephone numbers. (In some configurations, the
6 default route for a telephone service provider may be a packetized
7 network through the use of gateways. In that case, there is no need
8 to first dial an access number.) A second gateway is employed near
9 the called party. Essentially, in this configuration, IP telephony
10 service may appear to the user as no different from traditional circuit-
11 switched telephony service.

12

13 **Q. IS PACKET-BASED TELEPHONY A HIGHLY EVOLVED**
14 **TECHNOLOGY?**

15 **A.** No. Packet-based telephony, of which IP Telephony is a subset, is
16 still a rather nascent technology, which, as I have explained, can take
17 many forms. The more widespread deployment and use of
18 broadband access and next generation networks (converging voice,
19 video and data) can be expected to further drive the development of
20 packet-based telephony. As Verizon witness Beauvais notes in his
21 testimony, it is important for policymakers to avoid precipitous action
22 in this area, which might hinder further innovation.

23

24 **Q. PLEASE SUMMARIZE YOUR TESTIMONY.**

25 **A.** The term IP Telephony encompasses a broad variety of services. IP

1 Telephony may be offered in various configurations (i.e., between two
2 PCs, between a phone and a PC or between two phones). IP
3 Telephony may be offered over a combination of different types of
4 underlying backbone networks (e.g., the public Internet or a private
5 managed internet). IP Telephony may also be offered over different
6 types of access networks (e.g., corporate intranet, broadband
7 connection or PSTN). In addition, there are other types of packet-
8 based telephony beyond IP Telephony, and packet telephony may be
9 offered using different underlying protocols (e.g., ATM, Frame Relay,
10 and IP).

11

12 In its deliberations in this docket, the Commission should remain
13 aware that packet-based telephony is still a relatively new technology
14 and, as Dr. Beauvais notes, policy needs to be set accordingly.

15

16 **Q. DOES THIS COMPLETE YOUR TESTIMONY?**

17 **A. Yes.**

18

19

20

21

22

23

24

25

1 CHAIRMAN JACOBS: You may proceed, I'm sorry.

2 MS. CASWELL: Verizon calls Doctor Beauvais.

3 CHAIRMAN JACOBS: Have you been sworn?

4 THE WITNESS: No, sir, I haven't.

5 (Witness sworn.)

6 CHAIRMAN JACOBS: You may be seated.

7 EDWARD C. BEAUVAIS, Ph.D.

8 was called as a witness on behalf of Verizon Florida, Inc.,

9 and, having been duly sworn, testified as follows:

10 DIRECT EXAMINATION

11 BY MS. CASWELL:

12 Q Would you please state your name and business
13 address?

14 A Yes. My name is Edward Beauvais, B-E-A-U-V-A-I-S, in
15 case the spelling is not terribly obvious. The address is 600
16 Hidden Ridge, Irving, Texas 75038.

17 Q By whom are you employed and in what capacity?

18 A I am employed by GT -- Verizon Communications as
19 Director, Economic and Public Policy.

20 Q Did you file direct testimony in this proceeding?

21 A Yes, ma'am.

22 Q Do you have any changes or additions to that
23 testimony?

24 A No, ma'am, I don't.

25 Q So that if I asked you those same questions today,

1 your answers would remain the same?

2 A That is correct.

3 Q Did your direct testimony include one exhibit labeled
4 ECB-2?

5 A Yes, it did.

6 MS. CASWELL: Mr. Chairman, at this time I would like
7 to ask to move Mr. Beauvais' testimony into the record as
8 though read.

9 CHAIRMAN JACOBS: Without objection, show the direct
10 and rebuttal testimony of Doctor Beauvais is entered into the
11 record as though read.

12 MS. CASWELL: May I also have Exhibit ECB-2 marked
13 for identification?

14 CHAIRMAN JACOBS: Show that marked as Exhibit 14.
15 (Exhibit 14 marked for identification.)

16 MS. CASWELL: And if the rebuttal testimony has also
17 gone into the record, can I ask for his Exhibit ECB-3 to be
18 marked, as well.

19 CHAIRMAN JACOBS: Show that marked as Exhibit 15.
20 (Exhibit 15 marked for identification.)

21

22

23

24

25

DIRECT TESTIMONY OF EDWARD C. BEAUVAIS, Ph.D.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND TITLE.

A. My name is Edward C. Beauvais. My business address is 600 Hidden Ridge Drive, Irving, Texas, 75038. I am employed by Verizon Services Group as Director - Economic and Public Policy in the Regulatory and Governmental Affairs Department and am representing Verizon Florida, Inc. ("Verizon") in this proceeding.

Q. ARE YOU THE SAME PARTY WHO SUBMITTED TESTIMONY IN THE FIRST PHASE OF THIS CASE?

A. Yes. I provided both direct and rebuttal testimony previously in this case.

Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS PHASE OF THE DOCKET?

A. I will address certain issues that have been identified for resolution in this second phase of the docket. My testimony will cover issues 12, concerning the test for an ALEC's entitlement to compensation at the tandem interconnection rates; 13, concerning the definition of "local calling area" for reciprocal compensation purposes; 14, concerning the responsibilities for an originating local carrier and the associated compensation that may be due; and 16b, concerning the compensation mechanism for IP Telephony. I will also touch on issues 10, 17, and 18, although these issues are primarily legal in nature and will be addressed more fully in Verizon's posthearing brief. Issue 10 asks about the

1 Commission's jurisdiction to specify compensation for transport and
2 delivery of traffic subject to Section 251 of the Telecommunications Act
3 (Act); issue 17 asks whether the Commission should establish a default
4 compensation mechanism for transport and delivery of traffic subject to
5 Section 251 of the Act; and issue 18 asks how the Commission should
6 implement the policies it establishes in this docket.

7

8 The remaining issues identified by the Commission are addressed by
9 Verizon witnesses Jones (11), Haynes (15a and 15b), and Geddes (16a).

10

11 **Q. WHAT IS THE EXTENT OF THE COMMISSION'S AUTHORITY TO**
12 **SPECIFY THE RATES, TERMS, AND CONDITIONS GOVERNING**
13 **COMPENSATION FOR TRANSPORT AND DELIVERY TRAFFIC**
14 **SUBJECT TO SECTION 251 OF THE ACT?**

15 A. Under the Act section 251(b)(5), local exchange carriers have the duty to
16 establish reciprocal compensation arrangements for the transport and
17 termination of telecommunications. This provision is intended to ensure
18 that when local carriers collaborate to complete a call, both the carrier
19 originating the call and the carrier terminating the call will receive
20 appropriate compensation. The FCC has interpreted the Act's reciprocal
21 compensation requirement to apply to only "local telecommunications
22 traffic." (47 C.F.R. sec. 51.70(a).) Such local traffic is typically defined in
23 Verizon's interconnection agreements with ALECs as traffic that
24 originates on one party's network and terminates on the other party's
25 network within a local calling area. This definition is consistent with the

1 FCC's order, which held that reciprocal compensation provides for
2 "recovery by each carrier of the costs associated with the transport and
3 termination on each carrier's network facilities of calls that originate on
4 the network facilities of the other carrier." (In the Matter of Implementation
5 of the Local Competition Provisions of the Telecommunications Act of
6 1996, First Report and Order, 11 FCC Rcd 15499, (First Report and
7 Order) at ¶ 1034 (quoting 47 U.S.C. § 252(d)(2)(A)(i)) (emphasis added)
8 (1996).) (As I explained in my Direct Testimony in Phase I of this
9 proceeding—and as the FCC has confirmed—local traffic does not include
10 Internet-bound calls, which are jurisdictionally interstate.)

11

12 Thus, when Verizon and an ALEC negotiate an interconnection
13 agreement, they are obliged to include reciprocal compensation
14 arrangements which would encompass a bill-and-keep option for local
15 traffic. If they cannot successfully negotiate such arrangements, then
16 either may petition the State Utilities Commission to arbitrate the issue.

17 Although I am not a lawyer, that is what I understand the Commission's
18 jurisdiction to be—stepping in to determine reciprocal compensation
19 arrangements for local traffic when the parties' negotiations fail.

20

21 **Q. THE COMMISSION HAS ASKED WHEN AN ALEC MIGHT BE**
22 **ENTITLED TO COMPENSATION AT THE ILEC'S TANDEM**
23 **INTERCONNECTION RATE. IF THE COMMISSION ADOPTS YOUR**
24 **PROPOSED APPROACH, IS A GENERIC RESOLUTION OF THIS**
25 **ISSUE NECESSARY?**

1 A. Not necessarily. The question seems to assume that there will be a
2 nominal compensation paid by one carrier to another for use of a carrier's
3 tandem switching facilities. But as I explained in my Phase I testimony,
4 if a rate structure is adopted for intercompany compensation of "local"
5 traffic which is consistent with the rate structure paid by the end users in
6 Verizon Florida's areas of operations, then there is no explicit nominal
7 compensation to be paid. Under a bill-and-keep approach, each carrier
8 simply interconnects its facilities to that of other carriers and traffic flows
9 between and among networks according to the arrangements in the
10 carriers' interconnection agreements. In such situations, there is no
11 explicit compensation to be paid by any carrier to another at the tandem
12 rate or any other positive price per minute of use. The compensation is
13 that each carrier allows other carriers to use its network in completing
14 calls which both originate and terminate within the agreed-upon local
15 calling area.

16
17 If the Commission approves a bill-and-keep arrangement in this
18 proceeding as the preferred default when parties fail to negotiate other
19 arrangements, then it need not resolve the tandem interconnection issue
20 in a generic sense. The tandem interconnection issue, however, is likely
21 to arise in arbitrations if the Commission does not approve a bill-and-
22 keep approach here.

23

24 **Q. IN THESE INSTANCES, WHAT DO THE ACT AND THE FCC RULES**
25 **REQUIRE BEFORE AN ALEC IS TO BE COMPENSATED AT THE**

1 **ILEC'S TANDEM INTERCONNECTION RATE?**

2 A. As background for understanding this issue, it is first necessary to define
3 a tandem switching arrangement. Tandem switching refers to the
4 practice of using intermediate trunk-to-trunk switching in routing a call
5 from its originating end-office switching location to the end office serving
6 the customer for whom the call is destined. This intermediate switching
7 is done to replace the requirement for direct trunking between all possible
8 pairs of end office switches. Thus, tandem switching is adopted by
9 carriers as an economically cost efficient method of concentrating traffic
10 when a local exchange carrier has many end office switches serving a
11 given geographical area.

12

13 In its First Report and Order implementing the Act, the FCC recognized
14 that the costs incurred when a carrier transports and terminates a call
15 originating on another carrier's network are likely to vary, depending on
16 whether tandem switching is involved. That is, tandem switching will
17 likely entail a cost over and above that which would be incurred if just end
18 office switching were utilized. The FCC therefore concluded that "states
19 may establish transport and termination rates in the arbitration process
20 that vary according to whether the traffic is routed through a tandem
21 switch or directly to the end office switch." In doing so, it directed the
22 states to consider whether the competitive carriers performed functions
23 similar to those of the ILEC's tandem switch. It further observed that,
24 where the interconnecting carrier's switch serves a geographic area
25 comparable to that of the ILEC's tandem switch, the appropriate proxy for

1 the interconnecting carrier's additional costs is the ILEC's tandem
2 interconnection rate. (First Report and Order at. para. 1090.) The FCC
3 codified the guidelines for assessment of the tandem rate in its Rule
4 51.711(a).

5
6 Thus, assuming that some level of nominal compensation is to be paid
7 (as an alternative to a bill-and-keep approach), then the ALEC must meet
8 a two-prong test under the FCC's Order adopted pursuant to the Act. To
9 receive compensation at the ILEC's tandem rate, the ALEC's switches
10 must serve an area comparable to the ILEC's tandem switch; and the
11 ALEC's switches must perform functions similar to the ILEC's tandem
12 switches. In order for any payment to result in an efficient outcome,
13 payments must be based on a switching function actually performed, not
14 just that a switch is capable of performing such a function. That is, if an
15 ALEC actually performs the tandem function -- intermediate trunk-to-trunk
16 switching -- in routing a call, then assuming that reciprocal compensation
17 is to be paid, the ALEC would be entitled to bill for that call.

18
19 There is an important caveat in the above, however. If an ALEC only
20 performs a single switching function, even if that same switch could serve
21 as a tandem, then any charge should only be for the single switching
22 function actually performed in the routing of that call, again assuming that
23 a nominal reciprocal compensation arrangement has been agreed to by
24 the carriers. Given how ALEC switches are likely to be configured, as
25 discussed in Mr. Jones' testimony, Verizon's tandem cost estimate may

1 be useful as a proxy for the cost an ALEC might likely incur in routing
2 ISP-bound traffic, as such switching is performed on a trunk-to-trunk
3 basis, just as is a tandem switching configuration.

4

5 **Q. WHAT IS “SIMILAR FUNCTIONALITY” UNDER THE FCC’S TWO-**
6 **PRONG TEST?**

7 A. As noted, similar functionality means what it says it does—that the
8 ALEC’s equipment must perform functions like those of the ILEC’s
9 tandem switch. The FCC defines “tandem switching capability” to include
10 “trunk-connect facilities”; “the basic switching function of connecting
11 trunks to trunks”; and “the functions that are centralized in tandem
12 switches (as distinguished from separate end-office switched), including
13 but not limited to call recording, the routing of calls to operator services,
14 and signaling conversion features.” 47 C.F.R. sec. 51.319(c)(2). As the
15 South Carolina Commission concluded recently in an arbitration of this
16 issue between AT&T and BellSouth, this language “means that AT&T’s
17 switches must connect trunks terminated in one end office switch to
18 trunks terminated in another end office switch.” In that case, the
19 Commission concluded that because AT&T’s switches did not connect in
20 such a manner, “they cannot be found to perform tandem switch
21 functions.” (Petition of AT&T Comm. of the Southern States, Inc. for
22 Arbitration of Certain Terms and Conditions of a Proposed
23 Interconnection Agreement with BellSouth Tels., Inc. Pursuant to 47
24 U.S.C. Section 252, S.C. P.S.C. Order No. 2001-079, at 34 (Jan. 30,
25 2001).) Court decisions confirm that the South Carolina Commission’s

1 common-sense interpretation of the FCC's rules is correct. (MCI
2 Telecomms. Corp. v. Ill. Bell Tel., 1999 U.S. Dist. LEXIS 11418 (N.D. Ill.,
3 June 22, 1999); U.S. West Comm. v. MFS Intelenet, Inc., 193 F.3d 1112,
4 1124 (9th Cir. 1999). The same analysis is warranted here in a statement
5 of general policy to be applied in the context of any arbitration of the
6 tandem interconnection rate issue.

7

8 **Q. WHAT DOES "COMPARABLE GEOGRAPHIC AREA" MEAN UNDER**
9 **THE FCC'S RULES?**

10 A. In this context, the straightforward meaning is that the area served by the
11 ALEC's switch is about the same physical area as that served by the
12 ILEC's tandem switch. Again, if either of the geographic comparability or
13 the tandem functionality prongs are not met, then incremental
14 compensation at the tandem interconnection rate (in addition to the end
15 office switching rate) is not appropriate.

16

17 **Q. HOW SHOULD A "LOCAL CALLING AREA" BE DEFINED FOR**
18 **PURPOSES OF DETERMINING THE APPLICABILITY OF**
19 **RECIPROCAL COMPENSATION?**

20 A. "Local calling area" should be defined in the parties' local interconnection
21 agreements, as is the case today. Typically, that definition relies on the
22 ILEC's local calling scope as reflected in its local exchange tariffs. It is
23 quite possible that an ALEC's local calling area will be different from that
24 of the ILEC, just as the local calling scope of a wireless carrier may be
25 different from that of the ILEC. But given that the ILEC's local calling

1 scope is subject to regulation by the Florida Public Service Commission,
2 the fact that the retail calling scopes may be different should have no
3 bearing on the definition of the local calling area for purposes of applying
4 reciprocal compensation or other Commission policies or practices, such
5 as access charges. For instance, an ALEC may define the entire state
6 as a local calling area, but it cannot, by doing so, avoid the payment of
7 access charges and the underlying policy of support flows to basic local
8 services. Certainly it can be said that the Florida Commission has
9 established access rates as a matter of public policy and such a policy
10 should not be circumvented merely by the declaration of a calling scope
11 as local. If it could be, then an unregulated carrier could say the entire
12 state is its local calling area and avoid paying access charges as
13 intended by the FPSC. Mr. Haynes' testimony on behalf of Verizon
14 covers the issue of calling scope in much greater detail. As a practical
15 matter, Verizon is not at liberty under Commission regulation to simply
16 change its calling scopes in private negotiation.

17

18 One aspect that should be beyond contention is that to be eligible for
19 reciprocal compensation purposes, the call must be local under the
20 definitions in place; that is, the call must both originate and terminate in
21 the local calling scope agreed to by the parties. As I emphasized in the
22 first phase of this proceeding, Internet-bound calls are not local because
23 they do not terminate in the local exchange calling area, but rather
24 continue beyond the ISP's modem.

25

1 **Q. WHAT ARE THE RESPONSIBILITIES OF AN ORIGINATING LOCAL**
2 **CARRIER TO TRANSPORT ITS TRAFFIC TO ANOTHER LOCAL**
3 **CARRIER?**

4 A. The first thing to point out is that it is obviously necessary for carriers to
5 interconnect with each others' networks if an efficient form of local
6 exchange competition is to occur. The originating carrier has an
7 affirmative obligation to enter into negotiations with competitive local
8 exchange carriers so as to be able to complete the calls of customers to
9 which it offers service under its tariffs. Likewise, connecting carriers have
10 that same obligation, so that mutually advantageous arrangements can
11 be reached. However, as in the case of the local calling area, a number
12 of possible arrangements can be adopted in the private interconnection
13 agreements between the parties involved in handling the call with respect
14 to transport arrangements.

15
16 The first option is for the originating carrier to agree to provide the
17 transport facilities within the local calling area to the carrier serving the
18 user to whom the call is destined. The point of interconnection at the
19 receiving carrier's facility can be mutually agreed upon, but it might be the
20 receiving carrier's end office.

21
22 A second option is for the receiving carrier to agree to provide the
23 transport facilities within the local calling area from the carrier serving the
24 user from which the call originates. Again, the point of interconnection at
25 the originating carrier's facility can be mutually agreed upon, but it might

1 typically be in a co-location arrangement at the originating carrier's end
2 office. As an example, an ALEC interested in building out a rival
3 transport network might be interested in providing the transport facilities
4 in lieu of the ILEC doing so, or if the ALEC believe its facilities are more
5 efficient than those of the ILEC.

6

7 A third option would be that the interconnecting local exchange carriers
8 could agree to a meet-point with each carrier providing its own facilities
9 to the agreed upon point, much as is done in switched access
10 arrangements.

11

12 Each of the above options is quite consistent with the obligation of an
13 originating carrier to arrange for the transport of traffic to the carrier
14 receiving the call. Again, the obligations assumed by the originating
15 carrier should be specified in the interconnection agreement between the
16 carriers. Those arrangements need not be the same between all pairs
17 of carriers and all can exist with a given local calling area among different
18 pair of companies simultaneously.

19

20 **Q. FOR EACH ARRANGEMENT YOU JUST IDENTIFIED, WHAT FORM**
21 **OF COMPENSATION, IF ANY, SHOULD APPLY?**

22 A. Again, the intercompany compensation would depend upon the specifics
23 of the agreements between the two companies. In the simplest
24 arrangement, I would argue for matching the intercompany compensation
25 arrangement to the end user rate structure most prevalent in the local

1 calling area. In the case of Verizon Florida, that suggests a zero
2 marginal price for usage—the bill-and-keep arrangement I have already
3 recommended. If that is the case, no explicit nominal compensation need
4 take place for the transport facilities between the carriers on a usage-
5 sensitive basis.

6

7 **Q. ARE THERE ANY RECENT DEVELOPMENTS WHICH MIGHT BE**
8 **RELEVANT TO THIS COMMISSION'S CONSIDERATION OF THE**
9 **APPROPRIATE RECIPROCAL COMPENSATION?**

10 A. In a matter which bears directly on the level of compensation for any such
11 calls and their transport, Global NAPs, which operates in Florida, recently
12 reported that it is the first local exchange carrier to move to an
13 all-packet-based broadband network. By abandoning traditional circuit
14 switch equipment, this ALEC says it can deliver four times the capacity
15 in one-tenth the space and at one-tenth the cost. Global NAPs says that
16 all of this equipment has been interconnected into a distributed,
17 high-capacity "virtual" switch that carries more than 2 billion minutes of
18 traffic each month. "Our next-generation broadband network is an order
19 of magnitude more efficient than any other carrier's circuit switch
20 network," Frank Gangi, president and CEO of Global NAPs, has
21 asserted. "What previously consumed 15,000 square feet of central office
22 space now requires just 1,500 square feet. This watershed event heralds
23 the first major step in achieving Global NAPs' publicly stated goal of 'all
24 calls are local.' We are now in a position to provide voice, transport and
25 data services better, faster and cheaper than anyone else." (Global

1 NAPS February 7, 2001 release, posted on its website, attached as Ex.
2 ECB-2.)

3

4 In addition to maintaining its own nationwide SS7 network, Global NAPs
5 also has a switched gigabit Ethernet IP fiber backbone along the East
6 Coast. Wholesale customers for that network include ISPs Mindspring,
7 WebTV and Prodigy. Global NAPs says that about 75 percent of all
8 dial-up Internet traffic in the New England states flows through its
9 network. (Id.)

10

11 **Q. HOW SHOULD THIS INFORMATION FACTOR INTO THE**
12 **COMMISSION'S DECISION?**

13 A. If the information provided is accurate, then it suggests two items which
14 might affect the Commission's deliberations in this docket. First is the
15 observation that Global NAPs would consider all calls to be "local", which
16 obviously bears on the Commission's question posed above with respect
17 to calling scopes. This ALEC operates in numerous states and asserts
18 that it carries 75% of the Internet traffic in New England. Judging from its
19 statement, then, a call originated by a customer in one of the New
20 England states could terminate in Tampa to a Verizon customer. Global
21 NAPs may well consider that call to be "local" for its own marketing to its
22 customers. I certainly would not object to that. However, under current
23 jurisdictional definitions, such a call would be interstate and not subject
24 to reciprocal compensation payments. Likewise, should a Verizon
25 customer in Tampa call a Global NAPs customer located in New England,

1 that call would not be considered local by Verizon, even though Global
2 NAPs might consider the call to be local. Thus, the call would not qualify
3 for any nominal reciprocal compensation payment.

4

5 The second aspect to consider is the level of cost being reported by
6 Global NAPs, which indicates an order of magnitude reduction from
7 current cost levels. That is, if the current cost of switching a minute is
8 \$0.004, as an example, then using the Global NAPs engineered network,
9 the cost would be reduced to only \$0.0004 for that same minute of use.

10 If it is true, and that network design is that efficient, then the applicability
11 of the ILECs' current forward-looking cost estimates needs to be closely
12 examined, especially with relation to the costs incurred by ALECs with a
13 network design like that of Global NAPs. To the extent that Internet
14 telephony moves in the direction of that type of network, as described by
15 Ms. Geddes, then the use of a zero marginal price for intercompany
16 compensation makes even more sense.

17

18 **Q. ARE YOU SUGGESTING THAT AS INTERNET PROTOCOL (IP)**
19 **TELEPHONY DEVELOPS, THE COMMISSION WILL HAVE TO**
20 **CONSIDER OTHER ISSUES ASSOCIATED WITH INTERCOMPANY**
21 **COMPENSATION?**

22 **A.** Yes. For instance, one of the issues the Commission has identified in this
23 case is what carrier-to-carrier compensation arrangements, if any, should
24 apply to IP telephony. As the ALECs' witness Selwyn pointed out in his
25 Direct Testimony in Phase I of this case, use of non-circuit switched

1 technologies to provide IP telephony is "negligible today". (Selwyn Phase
2 I DT at 53.) I believe at least most parties to this docket would agree with
3 the assessment that there is relatively little IP telephony today, especially
4 for voice traffic. Thus there is no pressing need for the Commission to
5 address this compensation issue now, at least in a generic sense. This
6 is particularly true because the FCC is expected to initiate its own
7 proceeding to address the matter, perhaps as early as this spring. This
8 topic was also covered indirectly in the two FCC working papers I
9 supplied in my Phase I Rebuttal Testimony on January 10, 2001 (Exhibits
10 ECB-1 and ECB-2). Indeed, the Commission could not likely issue an
11 empirically supported decision on compensation for IP telephony in this
12 case. In terms of technology, this is an extremely complicated area; as
13 Ms. Geddes testified, there is no single definition of IP telephony and the
14 technology used in IP telephony is still very much evolving. There are
15 numerous complex issues in this docket, and the definition of IP
16 telephony is just an informational issue. Verizon believes that if the
17 preliminary information the Commission gathers in this case indicates
18 some need for the Commission to go forward with consideration of a
19 compensation mechanism for traffic utilizing an IP protocol, then that
20 process should take place in a separate docket where the Commission
21 can focus exclusively on that issue. In fact, I would suggest that non-
22 adversarial workshops might be a better approach initially than formal
23 hearings.

24

25

1 Although it is premature to engage in any detailed policy discussions
2 about internet telephony at this time, I can observe that it does seem
3 quite likely that there may be serious future implications for the overall
4 design of rates. I would just generally reiterate the observation I made
5 in Phase I of this proceeding that the issue of relative prices is very much
6 affected by the Commission's decisions. Based on the testimony of Ms.
7 Geddes, and the public statement of Global NAPS, it would appear that
8 the use of packet technologies will very much confuse the jurisdictional
9 nature of the traffic being carried, making it even more difficult to
10 segregate state, interstate and local, as is called for in current rate-
11 making. If IP-based telephony becomes widespread, it may be
12 necessary for significant public policy reforms with respect to the pricing
13 mechanisms currently utilized in the industry.

14

15 **Q. SHOULD THE COMMISSION ESTABLISH COMPENSATION**
16 **MECHANISMS GOVERNING THE TRANSPORT AND TERMINATION**
17 **OR DELIVERY OF TRAFFIC SUBJECT TO SECTION 251 OF THE ACT**
18 **TO BE USED IN THE ABSENCE OF THE PARTIES REACHING AN**
19 **AGREEMENT OR NEGOTIATING A COMPENSATION MECHANISM?**
20 **IF SO, WHAT SHOULD BE THE MECHANISM?**

21 **A.** As I explained above and in Phase I, if parties to interconnection
22 negotiations cannot agree on an intercarrier compensation mechanism
23 for local traffic under the Act, then the Commission may, in the context of
24 an arbitration, establish such a compensation mechanism. But, as this
25 Commission-designated issue seems to recognize, the Commission

1 cannot order parties to use a generic compensation mechanism without
2 first allowing negotiations to conclude.

3

4 If parties seek arbitration of a compensation mechanism, then the
5 Commission can conceivably use policies it establishes here to guide its
6 decision in the arbitration, depending on the specific facts of the case.

7 As I recommended in Phase I, the best approach is to allow the
8 additional costs associated with the increase in ISP-bound traffic,
9 including compensation costs, to be reflected in end user rates. If that
10 approach is not taken, then the Commission should establish a policy
11 preference for bill-and-keep arrangements for all local traffic under
12 Section 251 of the Act.

13

14 **Q. HOW SHOULD THE POLICIES IN THIS DOCKET BE IMPLEMENTED?**

15 A. As I discussed above, and as advised by my attorney, it is Verizon's legal
16 position that any policies established in this docket can be implemented
17 only in the context of arbitrations under the Act.

18

19 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

20 A. Yes.

21

22

23

24

25

1 **REBUTTAL TESTIMONY OF EDWARD C. BEAUVAIS, Ph.D.**

2

3 **Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND TITLE.**

4 A. My name is Edward C. Beauvais. My business address is 600 Hidden
5 Ridge Drive, Irving, Texas, 75038. I am employed by Verizon Services
6 Group as Director - Economic and Public Policy in the Regulatory and
7 Governmental Affairs Department and am representing Verizon Florida
8 Inc. ("Verizon") in this proceeding.

9

10 **Q. ARE YOU THE SAME EDWARD BEAUVAIS WHO SUBMITTED**
11 **TESTIMONY EARLIER IN THIS CASE?**

12 A. Yes. I provided both prefiled direct and rebuttal testimony previously in
13 Phase I of this docket. In addition, I prefiled direct testimony in this
14 Phase.

15

16 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS PHASE OF**
17 **THE DOCKET?**

18 A. The scope of the direct testimony filed in this phase of the docket covers
19 a rather wide arc of topics, ranging from current and potential future
20 calling scopes, to compensation arrangements for the provision of
21 transport services, to scenarios for the provision of telecommunications
22 services using Internet Protocols ("IP") and associated technologies.
23 Although the coverage is very broad, it is possible to identify a few key
24 policy points that especially merit rebuttal. In this regard, I will direct my
25 rebuttal testimony to addressing the ALECs' positions on the topics of the

1 designation of points of interconnection and compensation for transport
2 and tandem switching. Since the ALECs all took essentially the same
3 position on these matters, I have addressed them collectively, rather than
4 using a witness-by-witness approach.

5

6 **Q. ARE THERE ANY AREAS IN WHICH THE PARTIES SEEM TO**
7 **AGREE?**

8 **A.** Yes. The one area in which there seems to be a general agreement
9 among the parties is that it is too soon to consider the issues associated
10 with IP telephony in any great detail. As Ms. Geddes pointed out in her
11 direct testimony, there may not even be a unified notion of what will
12 constitute IP telephony. It is clear that IP telephony is in its initial stages
13 and will continue to evolve; the Commission is correct in attempting to
14 stay at least current with that development. At a policy level, with respect
15 to pricing issues associated with IP telephony, I would note my
16 agreement with BellSouth that simply because a different technical
17 protocol is utilized does not change a call or minute of use that would
18 otherwise be subject to switched access charges under the Florida PSC
19 definitions into any other classification of call, as the ALECs' witness
20 Gillan would have the Commission believe. I can well agree that it might
21 be far harder for all parties to identify and segregate those calls in the
22 future as IP telephony develops. But this does seem to be the one area
23 in this phase of the docket where there is reasonable agreement that the
24 time is not ripe for the Commission to take any specific actions to
25 establish a generic compensation scheme for IP telephony.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. THE ALECS BELIEVE THEY HAVE A UNILATERAL AND UNCONDITIONAL RIGHT TO SPECIFY A SINGLE POINT OF INTERCONNECTION (POI) FOR EXCHANGE OF TRAFFIC. DO YOU AGREE?

A. No. The ALECs claim an undisputed right to specify one point of interconnection within a LATA at which all traffic can be exchanged, so that the carrier with which traffic is being exchanged has no say in the matter. I would first point out that a LATA typically contains numerous local exchange areas, many of which would be toll calls to each other, subject to access interconnection arrangements, rather than "local" calls subject to local interconnection and reciprocal compensation under the Telecommunications Act. I would next point out that the Telecommunications Act calls for bi-lateral negotiations among interconnecting carriers on terms that are mutually advantageous to both parties. This latter consideration suggests that the parties should engage in negotiations to determine where one (or more) physical points of interconnection should be efficiently established.

I would readily agree that it is likely that many ALECs may initially desire a single point of interconnection, given their network architecture, as this would appear to minimize their costs. Indeed, there may well be ALECs with business plans utilizing number assignments and reciprocal compensation, as described more fully in Mr. Haynes' testimony, which may seek a single point of interconnection indefinitely. At the same time,

1 the ILEC may well prefer multiple interconnection points in an attempt to
2 optimize its own network efficiency. This, of course, immediately
3 suggests that contrary to the statements made by Dr. Selwyn, the ILECs
4 will not be indifferent to the location of the point(s) of interconnection, as
5 it does affect the costs incurred for transport facilities, as well as
6 implicating pricing issues. At the very least, it suggests that negotiations
7 between the interconnecting carriers are called for to attempt to reach a
8 settlement.

9

10 **Q. YOU MENTIONED ABOVE THAT THE NUMBER AND LOCATION OF**
11 **PHYSICAL POINTS OF INTERCONNECTION AFFECT THE COSTS OF**
12 **TRANSPORT FACILITIES. DON'T DR. SELWYN AND OTHER ILEC**
13 **WITNESSES ASSERT THAT TRANSPORT COSTS HAVE BEEN**
14 **FALLING RAPIDLY AND THAT DISTANCE IS NO LONGER A COST**
15 **DRIVER?**

16 **A.** Yes, they do and I am in agreement that such costs have decreased.
17 That is, if one asks the question as to how does the cost of an additional
18 minute of use vary with the distance of the call transport, I believe Dr.
19 Selwyn and I would agree that the answer is that they are far less
20 significant than they once were. However, it is still the case that transport
21 facilities do have a positive cost and that for any given capacity, building
22 those facilities for twenty-five miles is more expensive than building them
23 for only one mile. So the location of the physical point of interconnection
24 does, in fact, matter, especially if additional facilities must be added to
25 handle the increased traffic.

1

2 **Q. YOU ALSO MENTIONED ABOVE THAT THERE ARE TYPICALLY**
3 **NUMEROUS LOCAL CALLING AREAS WITHIN A LATA. IF A SINGLE**
4 **POI IS ESTABLISHED, COULDN'T THIS LEAD TO SITUATIONS**
5 **WHERE THE ILEC IS ASKED TO CARRY WHAT WOULD APPEAR TO**
6 **IT TO BE TOLL TRAFFIC WITHOUT COMPENSATION AND BE**
7 **RESPONSIBLE FOR THE COSTS OF THE TRANSPORT AT THE**
8 **SAME TIME?**

9 **A. I would say that result is likely, depending upon the geographic**
10 **distribution of an ALEC's customer base. The problem obviously arises**
11 **from the difference in the definition of local calling scopes between pairs**
12 **of carriers. I completely agree with the ALECs that they should be at**
13 **liberty to define their local calling scopes as they desire for retail**
14 **purposes (to their originating customers). Such a characteristic is likely**
15 **a desirable element of rivalry in the marketplace and can indeed help**
16 **differentiate one firm's offering from that of another to the end user**
17 **making the purchasing decision. I would not advocate suppressing this**
18 **element of inter-firm competition by imposing the ILEC's local calling**
19 **scope on the ALEC for retail marketing to consumers. By the same**
20 **token, the ALECs should not be able to force their definitions on the**
21 **ILECs or any other carrier when it comes to inter-firm compensation.**

22

23 **This situation once again calls for compromise by both parties, rather**
24 **than futile speculation about what the FCC may or may not have meant**
25 **when it made particular statements. Again, Congress established bi-**

1 lateral negotiations as the preferred process for determining
2 interconnection terms and conditions.

3

4 **Q. WHAT IS VERIZON'S POSITION WITH RESPECT TO THE POINT OF**
5 **INTERCONNECTION?**

6 A. The cleanest method from Verizon's point of view would be to have a POI
7 in each of its local exchange/rate center areas. However, it is understood
8 that ALECs, given their network architectures, would not be very
9 amenable to such a physical arrangement. Verizon does not necessarily
10 object to an ALEC being able to select a physical point of interconnection
11 at any technically feasible point on the ILEC's network, within reason. At
12 that physical point of interconnection, traffic can be exchanged between
13 the carriers. However, keep in mind that we are talking about the
14 exchange of "*local*" traffic. Thus, Verizon suggests, that in addition to the
15 physical POI, each ALEC designate a virtual interconnection point ("VIP")
16 in every local exchange/rate center. When a Verizon customer originates
17 a "local" call to a customer served by an ALEC, then the ILEC assumes
18 responsibility for delivering the call to the ALEC's VIP within or at the
19 boundaries of that local exchange/rate center area. If that call goes
20 beyond the local exchange/rate center area of the ILEC, then the ALEC
21 is responsible for the costs associated with those facilities to the physical
22 point where the carriers' networks meet--the POI.

23

24 **Q. IS THIS WHAT THE ALEC WITNESSES REFER TO AS "COST**
25 **SHIFTING?"**

1 A. That is indeed how they characterize this approach when referring to
2 BellSouth's position. It is certainly not Verizon's intention to inefficiently
3 impose costs on other parties. But I view the above-described proposal
4 as a method to effect a fair and reasonable compromise between the
5 competing exchange definitions. Recall from my direct testimony that I
6 stated that the cost of the transport facilities should be negotiated
7 between the carriers. Assuming that an ILEC customer originates a call,
8 there is no debate that the provision of the facilities up to the virtual IP
9 within a local exchange/rate center area are the responsibility of the
10 ILEC; likewise, there is no debate that from the physical POI onward, the
11 responsibility is that of the ALEC. This means that a compromise must
12 be reached on the facilities between the VIP(s) and the POI. One view
13 of this position is that the ALEC should bear complete responsibility for
14 all the costs between the VIP(s) and the POI -- what the ALECs describe
15 as the BellSouth position; another view is that the ILEC should have one
16 hundred percent of the cost responsibility for those facilities -- what I
17 would describe as the ALECs' current position. The BellSouth or Verizon
18 position is no more an attempt to shift costs to the ALECs than is the
19 ALEC position an attempt to shift costs to the ILECs. I would recommend
20 that the costs of these facilities be shared between the two carriers as
21 negotiated and agreed to between the parties.

22

23 **Q. MOVING ON TO A DIFFERENT MATTER, THE ALECS ARGUE THAT**
24 **THEY SHOULD BE COMPENSATED FOR HANDLING CALLS AT A**
25 **RATE WHICH INCLUDES LOCAL SWITCHING, TRANSPORT, AND**

1 **TANDEM SWITCHING, BASED ON THE ILEC'S RATES. DO YOU**
2 **AGREE?**

3 A. In a sense, I do agree, but with qualifications. To the extent that the
4 ALECs provide such services, then *assuming a usage-sensitive*
5 *compensation system*, they should indeed receive compensation for what
6 services they provide in handling a call. The issue really is what services
7 do they, in fact, provide and at what costs. While these factors can be
8 discussed in general, I believe they will have to be addressed on a
9 company-by-company basis, depending upon the network configuration
10 of the ALEC involved.

11

12 Consider the simplified network diagram in Verizon Rebuttal Exhibit ECB-
13 3, page 1 of 2. It is, obviously, quite basic, but it is useful for considering
14 the issue before the Commission at a policy level. In all of the scenarios,
15 I am assuming that the interconnected switching networks are in the rate
16 center area of Verizon.

17

18 In the upper half of the exhibit on page 1, labeled Scenario 1, assume
19 that the IP and POI are one and the same and that point is located at the
20 ALEC's switching center. Further assume for purposes of exposition that
21 the call is from an ILEC end user to an ALEC customer. In this case, the
22 facilities connecting the ILEC end user to the network (labeled "A") are
23 not part of the reciprocal compensation issue for "local" calls. The ILEC
24 provides the originating end office switching ("B"), the interoffice transport
25 to the tandem office ("C"), the tandem switching ("D") and the transport

1 ("E") to the ALEC's switch. The ALEC then takes the call, provides the
2 switching ("F") necessary to route the call onto the end user and the
3 facilities to carry the call from the network to that end user ("G"). In this
4 example, the ALEC has provided none of the functions or facilities
5 traditionally associated with interoffice transport and tandem switching.

6
7 In the bottom portion of the exhibit, page 1 of 2, the POI has been moved
8 to a point at the tandem switch. Again, that portion of the network, most
9 typically known as the loop ("A"), is not part of the reciprocal
10 compensation structure. The ILEC again provides the originating end
11 office switching, that portion of the end office transport between the
12 originating end office and the tandem, the tandem switching, but now
13 hands the call off to the ALEC. The ALEC performs the same functions
14 as before, but now the ALEC does, indeed, perform traditional transport
15 functions, as well, in completing the call. In this case, the ALEC would
16 be eligible for compensation for that portion of the transport it does
17 provide ("E"), in addition to the switching services provided on that call
18 ("F"). Note, however, that the ALEC still does not provide the tandem
19 switching in this Scenario 2.

20
21 Scenario 3, at the top of page 2 of 2 of Rebuttal Exhibit ECB-3, illustrates
22 a situation in which the POI has been placed at a meet point along
23 interoffice transport facilities ("C"). In this scenario, I am assuming that
24 all the facilities to the right of the designated interconnection point,
25 including the tandem switch, are provided by the ALEC rather than the

1 ILEC. In Scenario 3, the ALEC would be eligible to receive compensation
2 for some portion of the transport facilities it provides in competing the call
3 from the IP onward, a portion of ("C") as negotiated in the contract
4 between the carriers, the tandem switching ("D"), the transport between
5 the tandem, and the switch serving the receiving customer ("E" and "F"),
6 again assuming a usage based compensation arrangement. In this case,
7 the ALEC has, indeed, provided tandem switching and a substantial
8 portion of the transport facilities, as well, and would be compensated for
9 those services.

10

11 In the bottom half of the exhibit on page 2 of 2, there is an interesting
12 variation. Suppose that the ALEC has designated the POI to be at the
13 originating carrier's originating switching location and then picks up this
14 traffic on its fiber ring. In a very real sense, this is the case in which the
15 ALEC is using its facilities as a substitute for the tandem and interoffice
16 transport network that would normally be employed by the ILEC to deliver
17 a local call. I would argue under these conditions that the ALEC is
18 providing a service which is eligible for such transport compensation, as
19 well as the switching service it provides.

20

21 **Q. AT THE VERY END OF YOUR LAST RESPONSE YOU INDICATED**
22 **THAT THE ALEC WOULD BE ELIGIBLE FOR TRANSPORT**
23 **COMPENSATION. WHAT ABOUT THE TANDEM SWITCHING**
24 **ELEMENT?**

25 **A.** As I indicated in my direct testimony and here again, the carrier should

1 be paid for the services it actually performs. Unlike the previous case, in
2 which the ALEC actually utilized a tandem switch and provided an end
3 office routing function, in this last scenario, the call was only switched, at
4 best, once by the ALEC at its office. Thus, while I believe that such a call
5 would be eligible for compensation for transport and a single switching
6 function, it is not appropriate or economically efficient to compensate for
7 tandem switching the ALEC does not perform, given its network
8 configuration.

9
10 In addition, of course, we have several ALEC witnesses stating that
11 transport services are already considerably less expensive than switching
12 and that their networks are more efficient than ILEC network
13 arrangements, so to compensate ALECs at the higher rates would
14 certainly lead to them receiving economic rents. Economic rents are
15 payments over and above the amount necessary to induce a company
16 to provide service in the market.

17

18 **Q. BUT DR. SELWYN CONTENDS (AT PAGE 13 OF HIS DIRECT**
19 **TESTIMONY) THAT IT IS POSSIBLE FOR ALECS TO GET A HIGHER**
20 **TANDEM RATE EVEN THOUGH THE COSTS THEY INCUR TO**
21 **PROVIDE THE FUNCTIONS ARE ACTUALLY BELOW THE ILECS'**
22 **COSTS. HE FURTHER CONTENDS THAT SUCH AN OUTCOME IS**
23 **A GOOD THING. DO YOU AGREE?**

24 **A.** I agree that the presence of economic rents can be an incentive for
25 carriers to engage in behaviors designed to maintain those rents or

1 attempt to capture them for themselves. However, I disagree with Dr.
2 Selwyn when he states that the presence of such rents does not affect
3 the end users. Payments to ALECs from ILECs are a legitimate cost of
4 doing business in a multi-provider marketplace for local service, which is
5 what we are discussing here. Likewise, any payments to ILECs from
6 ALECs are a legitimate part of the ALECs' cost of providing service. We
7 have certainly heard that same argument from the IXCs when the topic
8 is access charges and they were quite correct in making it; switched
9 access charges are a legitimate component of the IXCs' cost of service.
10 Intercompany compensation costs are an integral part of a local
11 exchange carrier's costs as well. If competition among carriers is to
12 result in economically efficient outcomes, then the consumers must see
13 those costs reflected in the prices they face in the marketplace. If those
14 rents are present, as is likely to be the case--in that I agree with Dr.
15 Selwyn--then while those rents are good for the ALEC, they also must be
16 reflected in the prices seen by the consumers. That is, the prices
17 consumers see will be higher than would otherwise be the case.

18
19 To the extent that the charges are on a usage-sensitive basis and that
20 usage between carriers continues to increase (in what appears to be
21 predominantly a single direction -- ILEC to ALEC, for most carrier pairs),
22 the total economic rent received by the ALECs will continue to grow,
23 everything else equal. Again, that increasing cost to the ILEC is properly
24 reflected in the prices seen by the consumer. If those costs cannot be
25 reflected in the end user prices, then the principal mechanism that could

1 be employed to eliminate those rents is eliminated and carriers are
2 incented to continue to receive the rents, rather than compete for the end
3 user directly.

4

5 **Q. SO WHAT WOULD YOU RECOMMEND TO THIS COMMISSION AS TO**
6 **HOW TO PROCEED IN THIS AREA?**

7 A Again, I would suggest that the Commission must examine the network
8 configurations of the ALEC on a case-by-case basis, if the ALECs and
9 ILECs cannot reach a compensation agreement. As I have attempted to
10 show, different network arrangements are possible, and each will lead to
11 different outcomes. There are cases in which ALECs might well qualify
12 for compensation for the transport and switching services they provide,
13 including tandem switching. However, there are other arrangements in
14 which they will not. As a general principle, the carriers, both ILECs and
15 ALECs should only be compensated for the services actually provided.
16 Furthermore, to reduce the impact on end user rates, those
17 intercompany compensation rates should be set as close to the relevant
18 incremental cost of provision as possible.

19

20 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

21 A. Yes.

22

23

24

25

1 BY MS. CASWELL:

2 Q Mr. Beauvais, do you have any changes or additions to
3 your rebuttal testimony?

4 A No, ma'am.

5 Q Do you have a summary of your direct and rebuttal
6 testimonies?

7 A I do.

8 Q Would you give that to us now, please.

9 A Surely. This is following Doctor Taylor. Good
10 evening, Commissioners. Just like in the first phase of this
11 docket, we kind of -- the Commission finds itself in the
12 position of investigating a set of topics that our friends at
13 the FCC have now launched an NPRM on.

14 But unlike the case of the ISP-bound traffic, I
15 really don't see a decision in this newest NPRM coming out of
16 Washington anytime soon. Still it puts us in something of an
17 awkward position. Adding to that, on a personal basis today I
18 find myself following Bill Taylor on the stand. I don't know
19 that I will add a lot to his comments, since his evaluation of
20 the economics underlying the public policy recommendations for
21 the Commission to adopt this proceeding are similar to mine.
22 Therefore, I will attempt to be relatively brief, at least for
23 me.

24 Perhaps it is in some sense easier to start with what
25 Verizon is not asking or not seeking from this Commission.

1 First, we are not asking the Commission to adopt any new or
2 different compensation mechanism for traffic handled under an
3 IP protocol. While I believe that such traffic will become
4 quite important in the future and, in fact, is frequently used
5 by Internet surfers today as a substitute as well as a
6 compliment to traditional toll services offered by the LECs,
7 both ALEC and ILEC, as well as the IXC's today for things like
8 instant realtime messaging, such traffic is still in its
9 relatively early stages of development.

10 Thus, and I think most other parties in this docket
11 believe that this is not a critical item that the Commission
12 must act on immediately. Rather the traffic should be
13 considered and compensated under whatever rules the Commission
14 and/or the FCC adopt based on the regulatory jurisdiction of
15 this traffic; that is, if the traffic is interstate under
16 traditional circuit switched protocols, it would still be
17 interstate if an IP protocol were used instead. Identification
18 of the correct jurisdiction or jurisdictional treatment under
19 an IP protocol I think can be quite tricky, but I think the
20 principle also remains intact.

21 As to the matter of establishment of points of
22 interconnection, Verizon is not seeking to dictate to the ALECs
23 where they must locate their points of presence in a LATA or
24 even dictate how many should be established. I believe that
25 TELCOMAC (phonetic) calls for negotiating this aspect in an

1 interconnection agreement. It well may be the case that a
2 single POI is the most efficient way to exchange traffic in
3 many situations. In others it may not be. Thus, the reliance
4 on negotiation between carriers to arrange for a mutually
5 advantageous outcome should be the initial mechanism to
6 establish the points of physical interconnection of the
7 networks.

8 In the event that the parties cannot reach such an
9 agreement, then I certainly do not dispute that the ALECs have
10 been allowed to designate one physical point of interconnection
11 within a LATA. This property right was assigned to the ALECs
12 by the FCC, since it was assumed by the FCC at least in my
13 reading that the ALEC would likely have to pay for any
14 transport facilities provided by the ILEC to reach that point
15 beyond a reasonable calling scope. This provided the balance
16 to assure that the selection of the POI by an ALEC resulted in
17 a reasonably balanced distribution of benefits between the
18 parties.

19 To achieve this mutually beneficial outcome, Verizon
20 is seeking an arrangement to effectively and efficiently assign
21 the cost of transport between the carriers involved. That is
22 when an ALEC decides to select a physical point of
23 interconnection in a distant local calling area from the one in
24 which the call was originated, the ALEC should bear the causal
25 responsibility for the costs associated with the transport

1 capacity over and above what the ILEC would normally incur to
2 transport a call within the local calling area. I think in
3 that manner the assumption established by the FCC for a
4 mutually advantageous selection of a POI can be achieved.

5 Even for calls within a given local calling area, an
6 ALEC might find it useful and economical to provide its own
7 transport and possibly even its own tandem switching facilities
8 as a substitute for those provided by the ILEC. When it does
9 so, the ALEC should reflect those costs of the services it
10 actually provides in its prices and charges to other carriers,
11 both ILEC and other ALECs. Verizon is not attempting to deny
12 any ALEC payment for the services it actually performs.

13 To the extent an ALEC actually provides the
14 interoffice transport for a call, it should reflect that in the
15 compensation prices for that part of the transport it provided.
16 Likewise, to the extent that an ALEC actually performs tandem
17 switching associated with the call, as compared to end office
18 switching, it should reflect those costs in the prices, as
19 well.

20 Verizon's position is simply that the ALECs and ILECs
21 alike should only charge for those services actually performed.
22 If due to the ALECs network configuration choices it only
23 switches a call once, then it should not reflect the cost of
24 intermediate tandem switching as prices to other users.

25 Some of the difficulty encountered in this docket are

1 driven by the differences in how the ALECs and the Commission
2 have defined local calling areas for regulatory or pricing
3 purposes and how ALECs define them, the former typically
4 defining the local calling scope as contained in the retail
5 tariffs approved by the Florida Public Service Commission and
6 typically being smaller than how an ALEC might wish to set its
7 local calling area.

8 Indeed, as I pointed out in my direct testimony,
9 there is at least one ALEC who believes that there is no
10 distinction between local and toll in the future and perhaps in
11 the present, as well. Verizon is not attempting to place any
12 limits on how an ALEC defines its local calling scope for
13 retail customers. Any attempt to do so would be
14 anti-competitive.

15 The local exchange market is never going to be a
16 perfectly competitive market as defined by economists and will
17 be characterized by firms attempting to differentiate their
18 service offerings. Local calling area is certainly one of
19 those potential differentiators. Still for interconnection
20 compensation purposes, given the pricing conventions in place,
21 the differences in local calling areas must be accounted for.
22 Simply by establishing a different retail calling area should
23 not authorize an ALEC to circumvent the access charge regime
24 established by the Commission or that of the FCC. But, once
25 again, the FCC has also got this NPRM out now and they are

1 reevaluating that, as well.

2 I have suggested that the local calling area for
3 reciprocal compensation purposes in my testimony should be
4 established if at all possible by negotiations between the
5 carriers. If such negotiations fail, then I suggest the local
6 calling areas contained in the ILEC tariffs be the basis for
7 reciprocal compensation purposes between carriers. That is not
8 a suggestion based on some belief on my part that the ILEC area
9 definitions are somehow superior or any attempt to subject the
10 ALEC to some obsolete regulatory regime.

11 Again, the ALECs are at liberty to specify whatever
12 retail calling area they want for local purposes and whatever
13 they may find in their interest. Rather, my recommendation is
14 based on the simple notion that the ILECs, unlike the ALECs,
15 are not completely at liberty to adjust their calling areas at
16 will and presumably along with the price changes likely to
17 accompany such local calling scope definitions, for the ILEC
18 calling scopes are well known and defined for all carriers to
19 examine as well as the Commission has, which hopefully will
20 facilitate the negotiation process.

21 In addition, I would argue that the reliance on the
22 ILEC calling scopes is likely to put the least pressure on
23 the -- at least in the short run on other price levels already
24 established. Just as I maintained in the first phase of this
25 docket, any reciprocal compensation costs are legitimate costs

1 of doing business in a multi-carrier marketplace, just as
2 access charges are for IXCs and should be reflected in the
3 prices seen by consumers if efficient market outcomes are to be
4 achieved. And it is that type of a market arrangement that I
5 have tried to reflect in my testimony prepared for the
6 Commission in this docket. Thanks.

7 MS. CASWELL: Doctor Beauvais is available for cross.

8 CHAIRMAN JACOBS: Ms. Masterton.

9 MS. MASTERTON: No questions.

10 CHAIRMAN JACOBS: Mr. Lamoureux.

11 MR. LAMOUREUX: I have just a few questions.

12 CROSS EXAMINATION

13 BY MR. LAMOUREUX:

14 Q Mr. Beauvais, I am Jim Lamoureux, I represent AT&T.

15 A Nice to meet you, sir.

16 Q I didn't catch the exact wording you used in your
17 summary, but can you refer me to a specific FCC rule,
18 regulation, or order that says that ALECs are responsible for
19 the costs of getting a local call from the originating part in
20 one local calling area to a POI that may be in another local
21 calling area?

22 A As I think we talked about earlier with the earlier
23 witnesses, I believe you said it was Paragraph 199 in your
24 words. And that is where the notion came, I think the
25 statement was something like they are likely to have -- the

1 ALECs will likely have to bear any costs in addition to what
2 would normally be provided for transport.

3 Q Well, in fact, doesn't that paragraph talk about
4 ALECs perhaps having to pay for technically feasible but
5 expensive interconnection rather than anything about transport
6 or hauling calls?

7 A Well, presumably -- well, I guess expensive is a
8 relative term. The costs would be relatively more expensive
9 than it would be to haul it within the LATA if it has got a --
10 or within the local calling area if it has to go some distance
11 beyond it. So it is a relative term, obviously.

12 Q But that paragraph is among other paragraphs in this
13 FCC order discussing technically feasible forms of
14 interconnection, is it not?

15 A Well, sure. Technically infeasible forms of
16 interconnection doesn't seem to be a likely outcome.

17 Q My point is this is not a section that deals with
18 transport responsibility or financial responsibility
19 obligations for hauling calls, does it?

20 A Well, I think technical feasibility has at least some
21 implications for the costs that would have to be incurred. But
22 I believe you are right just from recalling this section.

23 Q Is that the only FCC cite that you are relying on in
24 suggesting that an ALEC is responsible for that cost of getting
25 the call out of a local calling area to the POI that may be in

1 another local calling area?

2 A Nothing else leaps to mind from the FCC. I think the
3 Florida Commission has made a similar ruling in an arbitration
4 case.

5 Q Well, in fact, the Florida arbitration has made the
6 exact opposite ruling in both the Level 3 and AT&T arbitration
7 cases, has it not, against BellSouth?

8 A I seem to remember a Sprint one, I don't remember the
9 other two.

10 Q Now, as I seem to understand your testimony on this
11 issue, your preference is that the parties reach some sort of
12 compromise on this transport obligation, is that a fair
13 assessment?

14 A Yes, sir, that is a fair assessment.

15 Q Now, obviously if the parties are not able to
16 compromise, that is what brings them to the Commission, right?

17 A And keeps us all employed, yes, sir.

18 Q If it is correct that the ALECs have no legal
19 obligation to bear the cost of that transport, do you think it
20 is fair that they should have to compromise and agree to pay
21 for a part of that transport?

22 A If you believe that they have no obligations or legal
23 responsibilities, then it wouldn't be. On the other hand, if I
24 believe they do, then we are back to the Commission.

25 Q And conversely, if it is correct that the ILECs have

1 a legal prohibition against charging the ALECs for that
2 transport, would you agree with me that it would not be fair
3 for the ALECs to have to compromise and to pay for some of that
4 transport?

5 A Given your conditional statement of if, yes.

6 Q In your rebuttal testimony you say that this isn't
7 really cost shifting, generally, is that a fair paraphrase?

8 A That's fair. We are not trying to shift costs onto
9 ALECs that we think they are casually responsible for.

10 Q If the ILECs are currently bearing these costs,
11 wouldn't moving the cost to the ALECs be cost shifting?

12 A No, sir, it would be reassignment of the costs that
13 you should have been bearing all along.

14 Q Is that cost shifting? Reassignment, isn't that cost
15 shifting?

16 A That is not how, at least as I was reading, how the
17 ALEC witnesses were using the term cost shifting.

18 Q Would you agree with me that moving the cost from one
19 party to another could be pretty fairly characterized as cost
20 shifting?

21 A Not in the sense that I was reading the ALECs using
22 the term cost shifting. There way very well result a shift in
23 causal responsibilities to a more appropriate basis of
24 splitting between ALECs and ILECs as a result of you taking
25 responsibility for providing transport facilities beyond an

1 ILEC local calling area, if you choose to do so.

2 Q Looking at your direct testimony at Page 8, you have
3 a question there, what does comparable geographic area mean
4 under the FCC's rules. And you say that the straightforward
5 meaning is that the area served by the ALEC switch is about the
6 same physical area as that served by the ILEC's tandem switch,
7 is that correct?

8 A Yes. Terribly precise, about the same.

9 Q I was going to say that is as precise as your test
10 for geographic comparability gets, is that right?

11 A That they are serving an area about the same, yes,
12 sir.

13 Q There is nothing in your testimony about what sort of
14 proof, or evidence, or tests an ALEC might have to meet in
15 order to prove that it serves about the same physical area, is
16 there?

17 A No, sir, other than suggesting that they need to, you
18 know, be actually serving customers located throughout the
19 area.

20 Q Well, where do you say anything about customers?

21 A In all of this I must have said customer somewhere,
22 but --

23 Q Well, I mean, you just said that the area served by
24 the ALEC's switch is about the same physical area?

25 A Is about the same physical area. But you have to

1 have customers there and actually serving customers as opposed
2 to just saying, I serve Florida, you know, if all the customers
3 are in one location, for our case in downtown Tampa.

4 Q Well, doesn't that put the ALEC in a pretty Catch-22
5 bind that it can never get the tandem rate at one customer,
6 even though its switch may be fully capable of serving as big
7 or bigger an area than the tandem switch of the ILEC?

8 A I don't think it puts them in a bind. If they are
9 only serving one customer you don't need a tandem switch and
10 don't, in fact, use it as a tandem switch. That is not really
11 putting it in a bind because they wouldn't be incurring the
12 cost of intermediate switching.

13 Q How about two customers?

14 A Once again, if you are a providing tandem switching
15 function and it is a necessary and efficient part of your
16 business, I think we should compensate for that. If you don't,
17 we shouldn't.

18 Q Well, they don't have to prove that they are
19 providing a tandem function under the new FCC guidance,
20 correct?

21 A Well, they are entitled to tandem compensation as I
22 read, if you serve a comparable geographic area, or in my words
23 about the same as the ILEC. That means you would actually be
24 performing the tandem function for that geographic area.

25 Q So it is your testimony that when the FCC said that

1 you only have to prove a geographic comparability test that
2 meant that you also have to prove a functionality test?

3 A You have to be providing the tandem switching for
4 that area in order to get that -- for that geographic area.

5 Q In holding that you only have to prove a geographic
6 comparability, didn't the FCC specifically distinguish that
7 from also having to prove functional equivalency?

8 A Sir, I'm not arguing functional equivalency. Let me
9 try an example of this, and I will use Tampa since that is
10 obviously our big exchange. You know, there is an area on West
11 Shore Avenue that is a relatively up and coming business area.
12 And AT&T, as an example, could very well say, yes, I serve the
13 entire Tampa, St. Pete, Clearwater, Bradenton, Sarasota area,
14 but all the customers are really located in my West Shore
15 Avenue. I don't know that is the case or not. But if that is
16 the case, then I say you are not really serving the customers
17 throughout the geographic area, you are serving those customers
18 right there and that is not the tandem function.

19 If, in fact, you have got customers distributed out
20 over the area, it doesn't have to be the same number of
21 customers that the ILEC serves, but you would have to use the
22 aggregation function of a tandem then, yes, that is the
23 geographic comparability standard I think the FCC is
24 referencing.

25 Q Can you show me anywhere in any of the FCC orders, or

1 decisions, or even in your testimony where it says anything
2 about proving where your customers are located?

3 A I believe that is what serving customers, serving
4 geographic area means.

5 Q So when I've got a switch out there and I am offering
6 service to anybody that will come to me and get it, my switch
7 isn't serving that area, is that what your testimony is
8 until I've got customers?

9 A Until you have the customers, yes, sir. Which means
10 you might not be eligible today, and you might be eligible a
11 week from now.

12 Q Can you tell me how many customers I have to have in
13 a geographic area in order to be able to get the tandem rate?

14 A No, sir.

15 Q Can you tell me where my customers have to be located
16 in a geographic area in order to be able to get the tandem
17 rate?

18 A I would think you would need some geographic
19 dispersion. How much? No, sir, I didn't say.

20 MR. LAMOUREUX: That's all I have. Thank you.

21 CHAIRMAN JACOBS: Mr. Hoffman.

22 MR. HOFFMAN: Thank you, Mr. Chairman.

23 CROSS EXAMINATION

24 BY MR. HOFFMAN:

25 Q Doctor Beauvais, my name is Ken Hoffman. I have some

1 questions on behalf of Level 3. Let me start by trying to get
2 some clarification in following up on some questions from Mr.
3 Lamoureux. As I understand it, it is your position that an
4 ALEC is required to pay transport and termination to Verizon to
5 haul a call from Verizon's local calling area to the point of
6 interconnection, is that correct?

7 A Not all the way from our switch to the local
8 calling -- to your POI. I'm sorry, let's try this again.

9 Q Is it your position that an ALEC is required to pay
10 the cost of transport and termination that Verizon incurs to
11 carry a call from Verizon's local calling area to the ALEC's
12 point of interconnection?

13 A For the capacity costs over and above what Verizon
14 would otherwise incur to transport that call within the local
15 calling area, but not all of it.

16 Q Okay. And you would agree, would you not, that there
17 is no ALEC that is taking the position in this case that
18 Verizon or any other ILEC is responsible for the ALEC's costs
19 of transport on the ALEC's side of the POI, is that correct?

20 A On the ALEC side of the POI, I think that is correct.

21 Q Okay. Do you believe that Verizon has any
22 responsibility for paying transport costs to the ALEC for the
23 ALEC's costs on its side of the POI?

24 A No, sir.

25 Q Okay. So under the regime, I guess I will use that

1 word that you would propose, the ALEC would cover all of its
2 costs on its side of the POI, but the ILEC would not. The ILEC
3 would look for a contribution from the ALEC for its costs on
4 its side of the POI, correct?

5 A Well, the POI is a physical interconnection point.
6 What I have suggested is -- and we are willing to provide the
7 capacity to get traffic to your POI if you select a single one.
8 Part of that, however, is our responsibility for cost causation
9 ought to end at our local calling area because that is what we
10 would provide. So in that sense we are not trying to say --
11 you should have been providing the other part to begin with.

12 Q Can I take that as a yes to my question?

13 A I think so.

14 Q Okay. Let me follow-up now on the questions Mr.
15 Lamoureux asked concerning the clarification that the FCC made
16 in the April 27, 2001 notice of proposed rulemaking. Would you
17 agree that the FCC has now clarified in that notice of proposed
18 rulemaking that FCC Rule 51.711(a)(3) requires only the
19 comparable geographic area test to be met before an ALEC is
20 entitled to the tandem interconnection rate for local call
21 termination?

22 A That is essentially what they tried to say in
23 Paragraph 105, yes.

24 Q Do you think they succeeded in saying that?

25 A Well, I think, you know, by -- I believe they used

1 the word serving a geographic comparable standard. It is the
2 serving geographic area that seems to be still some confusion.
3 I agree they took the functionality test out.

4 Q Okay. So you would agree that they have clarified
5 and moved to a comparable geographic area test only, can we
6 agree on that?

7 A With some debate about what comparable geographic
8 area means, yes, sir.

9 Q Okay. And if we can agree on that, then if you would
10 turn to Page 8 of your direct testimony?

11 A I'm here.

12 Q Page 8 on Lines 10 through 12, you would agree that
13 under the test as clarified recently by the FCC, that your test
14 is that an ALEC is entitled to the tandem interconnection rate
15 if the area served by the ALEC's switch is about the same
16 physical area as that served by the ILEC's tandem switch. That
17 is your testimony?

18 A Yes, sir.

19 Q Let me just ask you a couple of questions about your
20 rebuttal testimony on negotiations, Doctor Beauvais.

21 A Sure.

22 Q I am on Page 3 of your rebuttal.

23 A Okay.

24 Q On Page 3, Line 13, you state there that the fact
25 that the Telecom Act calls for bilateral negotiations suggests

1 that the parties should negotiate as to the location of one or
2 more points of interconnection, is that right?

3 A Yes, sir. I think that is the first thing one should
4 do.

5 Q Okay. You would agree that the bilateral
6 negotiations could also be aimed at addressing other issues in
7 the interconnection agreement?

8 A With probability one, yes.

9 Q I'm sorry, I didn't hear you?

10 A With probability one they will do more than just the
11 point of interconnection in interconnection agreements.

12 Q Right. So, for example, those negotiations could
13 focus on how the parties think it best to interconnect at a
14 single point, rather than where that single point of
15 interconnection may be?

16 A On one point, two points, as many as they might find
17 mutually advantageous.

18 Q They could negotiate, for example, using collocation
19 or leasing entrance facilities, could they not?

20 A Certainly, yes.

21 Q Now, let me move to Page 4 of your rebuttal
22 testimony. On Lines 20 through 23 you discuss there the fact
23 that transport has a positive cost, is that correct?

24 A Yes, sir.

25 Q So am I right that Verizon is concerned about bearing

1 the cost of transport to an ALEC's single point of
2 interconnection?

3 A Over and above what we would otherwise provide, yes.

4 Q So it is your position that a determination as to
5 where the parties established points of interconnection should
6 involve financial or economic considerations, such as the cost
7 of transport, is that correct?

8 A Yes, sir. I would certainly think, you know, the
9 financial considerations are important to everybody here.

10 Q Are they important to Verizon on this issue?

11 A The last I heard, yes.

12 Q Let me ask you now to move to Page 6 of your
13 rebuttal.

14 A Yes, sir.

15 Q I think on Page 6 of your rebuttal beginning with the
16 question on Line 4, you suggest that an ALEC would not need to
17 build-out to each local exchange under your proposal, is that
18 correct?

19 A That is correct.

20 Q Instead, the ALEC could lease facilities from Verizon
21 to establish a virtual interconnection point in each exchange,
22 is that right?

23 A Or other people, but, yes.

24 Q And what would an ALEC pay for those facilities under
25 your proposal?

1 A It would, again, be negotiated in the agreement and
2 it may be TELRIC rates or some approximation of incremental
3 cost of those facilities. It could also be a tariffed rate.

4 Q Okay. Have you presented any specific evidence in
5 this proceeding as to what an ALEC would pay for the facilities
6 under your proposal?

7 A No, sir. Since my first fallback would be a
8 negotiation process, I didn't put it in there.

9 Q Okay. But you would agree that your position is that
10 the ALEC would basically either need to build-out or lease
11 facilities from Verizon at X dollars per month to reach each
12 Verizon local exchange from the ALEC's point of
13 interconnection, is that correct? That is your position?

14 A From Verizon or some other party, or build your own.

15 Q In other words, the ALEC has its point of
16 interconnection, it is your position that the ALEC should be
17 required to build facilities to each Verizon exchange or lease
18 facilities from Verizon to reach each Verizon exchange and pay
19 whatever the charges are?

20 A For the transport, yes, sir.

21 Q Okay. And what would those charges be?

22 A As I have just suggested, it would be contained in
23 the interconnection agreement. And I don't know what they are
24 in those cases. Because as we said, we are negotiating on
25 numerous points within an agreement and that would be subject

1 to the agreement among the parties as to what the applicable
2 prices would be.

3 Q Would there be a facilities cost?

4 A I would suggest there probably are facility costs.

5 Q Okay. Would there be a usage cost?

6 A If depends on the compensation agreement between the
7 parties. There may or may not be.

8 Q Now, under this proposal, as I am calling it, when
9 would an ALEC first be required to pay Verizon for these
10 facilities under whatever terms are negotiated or tariffed?

11 A I guess when you establish the interconnection
12 agreement and physically made the interconnection between the
13 two carriers. So on a going-forward basis you would begin at
14 that point.

15 Q Okay. Would it occur whenever an ALEC advises
16 Verizon that it intends to provide service in Verizon's service
17 area, would that be the triggering points for payment for the
18 facilities?

19 A The intent to provide service?

20 Q Right.

21 A No, sir. I think you may intend to do it today and
22 if you don't actually incur the cost today, we wouldn't charge
23 you. I mean, that is when the connection would be made and the
24 costs to be incurred.

25 Q Okay. So your testimony is that the ALEC would begin

1 paying Verizon for the facilities that would haul traffic from
2 Verizon's local calling exchange to the ALEC POI as soon as the
3 interconnection is completed?

4 A Beyond Verizon's local calling area.

5 Q Beyond it, okay. Beyond the Verizon local calling
6 area to the ALEC POI, those payments would begin once those
7 interconnections are completed?

8 A Correct.

9 Q Now, it seems to me that that is how it would work if
10 either the ALEC was building facilities to Verizon, to
11 Verizon's local calling area, or there was some type of meet
12 point, so to speak. What about if the ALEC is just leasing
13 facilities from Verizon to go from outside the local calling
14 area to the POI, when does the ALEC start paying Verizon?

15 A On the effective date of the lease, I would imagine.

16 Q On the effective date of what lease?

17 A The lease of the facilities that you just mentioned.
18 I mean, if you want the facilities starting tomorrow, I would
19 assume the payments start with tomorrow.

20 Q Okay. So it is whatever the parties might negotiate?

21 A Yes, sir.

22 Q Okay. Let me try an example. Let's say that an ALEC
23 tells Verizon that it plans to offer service in seven Verizon
24 exchanges, and then the ALEC tells Verizon that it wants to set
25 up a physical point of interconnection at the ALEC's switch and

1 would establish what I will call virtual IPs in each of the six
2 other exchanges where it does not have a physical presence.

3 Are you following that?

4 A I think so.

5 Q Now, would the ALEC have to accomplish all of this
6 before it begins providing service?

7 A Well, certainly the interconnection would have to be
8 made between your POI and our switches before service could be
9 provided.

10 Q Okay. So the ALEC would either have to accomplish
11 the leasing arrangements or the necessary construction to
12 interconnect down to the Verizon exchanges from its POI?

13 A Yes.

14 Q Okay. Now, that is accomplished. Let's just assume
15 that that is accomplished. What if the ALEC doesn't sign up a
16 customer for six months, does the ALEC have to pay Verizon for
17 leasing facilities that are not being used?

18 A For the lease of the facilities? The lease of the
19 facilities is for the capacity for those facilities, and in
20 that sense you are using the facilities at that point. When
21 you say, Verizon, build those facilities to me, we have built
22 them, we have incurred the additional costs of that at that
23 point.

24 Q Okay. Let's say that we didn't ask Verizon to build,
25 let's just say there were facilities in place and the ALEC was

1 leasing capacity from those facilities. Same scenario, same
2 example, we don't get a customer for six months. Would the
3 ALEC be required to pay Verizon for those six months without
4 any traffic?

5 A Yes, my answer would essentially be the same if you
6 have put them in place. But, again, that is something that can
7 be negotiated between the parties.

8 COMMISSIONER JABER: This is one of the things I have
9 been searching for in this docket is what kind of direction or
10 guidance could this Commission give you all for the purpose of
11 negotiating? And if you could answer Mr. Hoffman's question in
12 that regard that would be helpful to me. Just personally
13 speaking, it is always preferable for me when the parties
14 negotiate because I think that that is the optimal solution,
15 that the parties come up with their own resolution. But in an
16 effort to give some guidance to all of the parties or direction
17 where needed, what might we want to be looking at?

18 THE WITNESS: Well, I think what you are really
19 looking at is who has the causal responsibility in this case
20 for the transport facilities between the local exchange areas
21 of Verizon, if we are using our definitions, and a POI. I
22 mean, I think actually in most cases as a practical matter
23 today most of the POIs of the ALECs are located within the
24 local calling scopes of Verizon. I mean, they are not really
25 using it, so --

1 COMMISSIONER JABER: But in Mr. Hoffman's
2 hypothetical, the second part of his hypothetical where he said
3 that if an ALEC comes to Verizon and leases facilities that
4 Verizon has already put in place, why should there be a cost?

5 THE WITNESS: Well, the facilities have costs and you
6 would be reserving the capacity for their future use,
7 presumably not using that capacity for yourself. You know, it
8 is the opportunity cost of holding those, reservation demand
9 for ALECs would be the issue there. And clearly if the
10 capacity is already in place, this is one of the short-run
11 dichotomies between short-run and long-run. If all the
12 facilities are in place for all of this, the incremental cost
13 in the short-run can be quite low, but that is not the long-run
14 kind of incremental cost notions that we have been talking
15 about.

16 I guess in terms of guidance, what the Commission
17 should probably do is set what it believes is the causal
18 responsibility for the transport, who has it. Do we have the
19 responsibility to take -- we being an ILEC, you know, to
20 wherever an ALEC may decide, or do the local calling area
21 definitions really mean something. Are we responsible for
22 providing average length of transport within an exchange and
23 once it goes beyond that the ALEC should be responsible for
24 picking up the costs? That seems to me to be a fairly
25 practical and generic statement of policy that the Commission

1 could issue and then leave the details to the negotiations
2 between the parties.

3 BY MR. HOFFMAN:

4 Q But, Doctor Beauvais, under my second example, you
5 would agree that the ALEC could find itself in a situation
6 where it is making lease payments for capacity to Verizon while
7 it continues to search for customers, it may not have any
8 customers?

9 A In a sense just like any other start-up business
10 rents a location, a store and for the first couple of months it
11 may not be generating a lot of retail business, but it's still
12 paying rent to the landlord. Yes, sir, that is a possibility.
13 And that's what I'm staying, some of this may be able to be
14 negotiated in a settlement between the two parties.

15 Q And obviously that would not be the case if this
16 Commission were to accept the ALEC's position that the ILEC is
17 responsible for all costs associated with transport on the
18 ILEC's side of the POI, correct?

19 A That would be correct.

20 Q Doctor Beauvais, have you will provided any evidence
21 or cost data in this record that would support the notion that
22 it would be cost prohibitive for Verizon to interconnect at a
23 single interconnection point with an ALEC?

24 A No, sir, I haven't provided any cost evidence one way
25 or another. In fact, I have even suggested a single point of

1 interconnection may be an efficient arrangement depending upon
2 the type of network that whoever we are interconnecting with
3 may have.

4 Q Okay. And you have not provided any evidence, or
5 cost data, or analysis in this case that shows Verizon's costs
6 of interconnecting at any given location, have you?

7 A No, sir.

8 MR. LAMOUREUX: No further questions. Thank you,
9 Doctor Beauvais.

10 THE WITNESS: Thank you, sir.

11 CHAIRMAN JACOBS: Mr. Moyle.

12 MR. MOYLE: Thank you, Mr. Chairman.

13 CHAIRMAN JACOBS: Before you begin, Mr. Moyle, let's
14 kind of take a survey here. Do we have much more cross for
15 Doctor Beauvais?

16 THE WITNESS: The correct answer is no.

17 MR. MOYLE: I don't have much.

18 MR. MELSON: Ten minutes or less.

19 MS. KEATING: Five minutes or less.

20 CHAIRMAN JACOBS: Okay. We will shoot to try to and
21 complete then Mr. Beauvais today.

22 CROSS EXAMINATION

23 BY MR. MOYLE:

24 Q Let me ask you a question with respect to your
25 testimony today. Your title with Verizon is what?

1 A What is it this week, Director of Economic and Public
2 Policy, I think. I don't even get the Verizon part right half
3 the time, so --

4 Q You are not testifying as an expert then, are you?

5 A I am an economist by training, yes, sir.

6 Q So are you testifying as an expert in economics with
7 your testimony today?

8 A Yes, sir, I'm an economist.

9 Q Are you testifying as an expert in any other
10 disciplines?

11 A To the extent that economics applies to public
12 policy, that's what I do.

13 Q In response to a question from counsel for AT&T, I
14 think you were talking about legal responsibility and legal
15 obligations. You are not testifying on matters of law today,
16 are you?

17 A Much to the relief of the legal profession, I am not
18 an attorney.

19 Q Okay.

20 A And to mine, too, by the way.

21 Q Your direct testimony in this case was filed on March
22 12th, isn't that correct?

23 A Yes, sir.

24 Q And Mr. Hoffman, I think, asked this question and
25 clarified it, but I wanted to try to bring it to your attention

1 because when your lawyer asked you whether you had any
2 revisions to your testimony I think you said no, but the FCC
3 issued their notice of proposed rulemaking after you filed
4 direct testimony, correct?

5 A I believe they issued it after we filed direct and
6 rebuttal.

7 Q And with respect to the question about functionality,
8 similar functionality under the FCC's two-pronged test on Page
9 7 of your direct testimony --

10 A Yes, sir.

11 Q -- do you still stand by that testimony in light of
12 your answers to Mr. Hoffman with respect to the geographic
13 area?

14 A I believe what I have said is how Verizon would
15 approach it, and what I believe is the correct thing to do.
16 But I also agree that the FCC has said geography only. We can
17 argue what geographic serving area means, but --

18 Q But given, I guess, Verizon's view and the FCC's
19 view, you would probably side with the FCC's view, would that
20 be a fair statement?

21 A Given Verizon's view and the FCC view, I tend to side
22 with the view of my boss. I side with the FCC's -- that that
23 is what the FCC says that they meant. I still think Verizon's
24 is probably closer to being economically correct.

25 MR. MOYLE: I have nothing further.

1 CHAIRMAN JACOBS: Mr. Melson.

2 CROSS EXAMINATION

3 BY MR. MELSON:

4 Q Let me follow up on that last one just a minute. You
5 would agree that to the extent the FCC has a rule and the rule
6 is clear, that this Commission is going to need to follow the
7 rule rather than do what might be more economically correct, is
8 that --

9 A I think economics matter, yes, sir. But to the
10 extent that there are rules and those rules govern, we should
11 abide by the rules.

12 Q All right. Would you turn -- do you have a copy of
13 the prehearing order?

14 A No, sir, I don't.

15 Q I don't want to belabor the point, but I'm trying to
16 understand what Verizon's bottom-line position is now in light
17 of the FCC's statement about its rule. And I would refer you
18 to Page 16 of the prehearing order at the top of the page. It
19 is Verizon's position on Issue 12A. Are you with me?

20 A Yes, sir.

21 Q All right. Is it fair to say that in light of the
22 FCC's clarification, it would be appropriate where you see a
23 semi-colon down on the start of the fifth line, to change that
24 to a period and then to strike the remainder of that sentence?

25 A I don't see the colon.

1 Q Semi-colon. Let me read the sentence to you. "If
2 the Commission adopts a positive price compensation scheme as
3 opposed to bill and keep, an ALEC may receive compensation at
4 the ILEC's tandem rate if the ALEC switches serve an area
5 comparable to that served by the ILEC's tandem switch." Given
6 the FCC's ruling, would it be inappropriate to put a period at
7 it that point and strike the rest of the sentence?

8 A That would certainly be what the FCC rules seem to
9 suggest. Again, with the clarification that what serving a
10 geographic area means can be different.

11 Q And then the next sentence talks about if either
12 condition of the two-pronged test is not met, and the second
13 prong being performing similar functionality, then compensation
14 at the tandem interconnection rate is not appropriate, that
15 sentence would also go?

16 A Under Paragraph 105, yes, sir.

17 Q Okay. And in the next sentence it says, "In
18 addition, the ALECs should only be permitted to bill at the
19 tandem rate to the extent that it offers an end office
20 alternative" -- "the ALECs should only be permitted to bill at
21 the tandem rate to the extent it offers an end office
22 alternative." That sentence would have to go, too, would it
23 not?

24 A Once again, if you take the -- given my caveats about
25 what serving a geographic area means and the difference between

1 that and what the FCC said, yes, that would go as well.

2 Q All right. Does Verizon have any local tandems in
3 its network?

4 A In Florida?

5 Q Yes.

6 A Yes.

7 Q Do you have any local tandems that serve switches
8 located in more than one local calling area?

9 A No, because they wouldn't be local tandems then. I
10 mean, the local tandem would be like in Florida where you have
11 a number of local end office switches in the Florida local
12 calling -- in the Tampa local calling area where you wouldn't
13 have high usage trunks between all possible end offices and
14 rather you use the local tandem as intermediate switching among
15 those local, but that is all within a local calling area. We
16 also have two access tandems, but the local tandems would be at
17 the local calling areas.

18 Q And do the access tandems ever provide tandem
19 switching for local calls?

20 A Not that I am aware of.

21 MR. MELSON: No further questions. Thank you.

22 CHAIRMAN JACOBS: Staff.

23 CROSS EXAMINATION

24 BY MS. KEATING:

25 Q Good evening, Doctor Beauvais.

1 A Ma'am.

2 Q I'm Beth Keating, I've got just a few questions for
3 you on behalf of staff. First, I would like to ask do you have
4 a copy of staff's stipulated exhibits handy?

5 A I don't think so. Okay.

6 Q Great, thanks. I would like to refer you to what is
7 staff's Stip 8, which is now for reference purposes Hearing
8 Exhibit 9. That is Verizon's responses to staff's first set of
9 interrogatories. And I'm looking at Item 2.

10 A This is Stipulation 8?

11 COMMISSIONER JABER: Page 3?

12 MS. KEATING: Actually Page 4 is where the response
13 is. And just to be clear, somebody tells me I have misstated,
14 it is actually Hearing Exhibit 7 now for reference purposes.
15 Have you found where I'm looking, Doctor Beauvais?

16 THE WITNESS: I am at Stipulation Number 8.

17 BY MS. KEATING:

18 Q Okay. If you would look on Page 4 of that?

19 A Okay.

20 Q And you see at the top of the page, B?

21 A Yes. What information should an ALEC provide?

22 Q Okay. Then we are on the right page, then. In that
23 response Verizon discusses the information that ALECs should be
24 required to provide to show that their switch serves a
25 geographic area comparable to an ILEC tandem, is that correct?

1 A Yes. I suggested this is information that might be
2 useful for doing so. It is not a mandate on anybody's part,
3 just here is a possible way of going about it.

4 Q Okay. And just to be clear, it is your position that
5 an ALEC should be required to provide a combination of maps
6 depicting geographic coverage and information regarding
7 customers served in the particular areas?

8 A Yes, ma'am. I'm suggesting that is one possible way
9 of going about the geographic serving -- you have to have these
10 things fitted. Ordering them through the mail doesn't work.

11 You have to -- it's one method, it's not a
12 requirement, it's just a suggestion. You know, you can look at
13 the maps and look at the distribution of customers on that map
14 and that is one way you could approach the issue.

15 Q Well, when you are talking about customer
16 information, what kind of customer information?

17 A Where are they.

18 Q That's it?

19 A That was it.

20 Q Okay. Now, regarding the matter of carriers
21 responsibilities to transport traffic, if I could direct your
22 attention to Page 10 of your direct testimony. And here you
23 seem to be indicating that compensation arrangements stemming
24 from the interconnection between two carriers should really be
25 handled on a case-by-case basis. Is that a fair assessment of

1 your testimony?

2 A Yes, ma'am, I think it is, because I think the
3 networks are potentially very different across ALECs.

4 Q Okay. And turning over onto Page 12. This is really
5 just for clarification, but you appear to be advocating a bill
6 and keep arrangement, is that correct?

7 A I have always been a big fan of measured service, as
8 Doctor Selwyn is well aware. We go back a long time on that,
9 and I still think there is a lot to be said for it. But given
10 the decreasing cost of usage that we have seen and the ISP
11 problems along those lines, I think there really is something
12 to be said for going to a bill and keep type arrangement on
13 this over time, just like the FCC seems to be suggesting in its
14 notice. Even though there are certainly consequences of doing
15 so. Was that a long enough answer to a short question?

16 Q If I got the answer, you are saying yes, you are
17 advocating bill and keep.

18 A Right.

19 Q And, finally, I would like to follow up on a line of
20 questions that Mr. Hoffman asked you. It appears in your
21 rebuttal testimony that you're recommending the use of a
22 virtual POI in each local calling area?

23 A Yes, ma'am.

24 Q Okay. Doesn't this effectively compel an ALEC to
25 mirror the ILEC's network architecture?

1 A No, not at all.

2 Q Could you explain why it doesn't?

3 A Well, all it says is if we adopt the ILEC's
4 definition of the local calling scopes, you know, they can use
5 fiber rings, cable TV systems, whatever technology, whatever
6 arrangements they want. They can specify whatever local
7 calling scope they would like. They can make it the United
8 States. Whatever price they would like, but if you want to get
9 to a local calling scope and we are providing the transport to
10 that, that is not dictating their technology or their calling
11 scope at all.

12 Q So in your opinion this would not be imposing
13 interconnection obligations on ALECs?

14 A Well, it is imposing the obligation negotiated in the
15 state commission's -- who has responsibility for what part of
16 the costs, but I don't think it is -- it is not dictating their
17 arrangements of technology or network deployment.

18 Q Finally, Doctor Beauvais, if you know, with regard to
19 local calling areas and how those were established, what is
20 your understanding as to how local calling areas were
21 established?

22 A Well, in some sense I guess they were kind of
23 accidents in a previous world where you had relatively high
24 costs of transport, and I think we are probably -- all the
25 parties agree that the costs of transport have decreased. In

1 that environment what you had was the economic desirability to
2 keep local rates low by keeping calling areas relatively within
3 a community of interest. Clearly those have changed over time,
4 but then the local calling area definitions and scope have also
5 changed over the years. But they were largely a community of
6 interest considerations in the past along with the economics.

7 Q Did it have anything to do with issues regarding
8 competition?

9 A There was very little competition probably when those
10 local calling areas were established.

11 Q So can I understand your answer to be probably not?

12 A Probably not.

13 MS. KEATING: Thank you, Doctor Beauvais. Those are
14 all the questions that staff has.

15 THE WITNESS: Thank you, ma'am.

16 CHAIRMAN JACOBS: Commissioner Palecki.

17 COMMISSIONER PALECKI: Doctor Beauvais, on the area
18 of defining the local calling area, it is your testimony that
19 this is something that should be negotiated between the
20 parties, but if the parties are unable to come to an agreement,
21 we have a default in that the ILEC local calling areas would
22 control, is that correct?

23 THE WITNESS: Yes, sir, that would be my
24 recommendation.

25 COMMISSIONER PALECKI: It has been my finding that in

1 negotiation they are usually more effective when there is a
2 fear of the unknown. And if you have a default that is the
3 ILEC's local calling area, would the ILEC really be that
4 motivated to make concessions?

5 THE WITNESS: Number one, there is quite more than
6 just one item, I think as we discussed it here, being
7 negotiated in these interconnection agreements. It is also --
8 while the fear of the unknown may be a factor, also with some
9 degree of certainty in all of this as to what the default is
10 also reduces the negotiations costs and transaction costs and
11 the length of time it may take to reach an agreement. So I
12 think there is some countervailing pressures there.

13 COMMISSIONER PALECKI: Well, if rather than having a
14 default of the ILEC's local calling area we just had the issue
15 go to the Commission for the Commission to decide, then neither
16 party would know what the default position would be in the case
17 of a non-negotiated agreement. Wouldn't we in that
18 circumstance be more likely to see a free back and forth
19 negotiation?

20 THE WITNESS: You could very well. It probably
21 depends on the dynamics of everything else that is being
22 initiated, but in that sense, yes. Some uncertainty says if
23 everybody is worried about what you will do, then there is
24 clearly more incentive to reach agreement privately.

25 COMMISSIONER PALECKI: Thank you.

1 THE WITNESS: Yes, sir.

2 CHAIRMAN JACOBS: One quick question. In your
3 rebuttal, Page 4, it kind of says that this additional cost
4 that the ALECs would arguably impose by selecting one point of
5 entry may not be that significant. In other words, the
6 underlying question here I think is the supposition made by
7 Doctor Selwyn that those transfer costs may be decreasing in
8 nature.

9 THE WITNESS: Commissioner, I don't think there is
10 any dispute even between Doctor Selwyn and I that transport
11 costs have come down, and especially on a per minute basis
12 simply because the capacity has grown so large and a lot of the
13 transport costs are, in fact, driven by the electronics on the
14 end. However, I think it is also true that an additional mile
15 of transport facilities costs -- five miles costs more than
16 four miles.

17 CHAIRMAN JACOBS: I understand. Here is my point, if
18 we are here balancing policy, and what I hear you saying and
19 what I have heard all along is that the prevailing policy that
20 would harm ILECs here is that we allow them to unilaterally
21 absorb that cost. And then on the other end of that scale what
22 I hear is that if we don't allow these, these new network
23 architectures will require the ALECs to have to -- how should I
24 say -- have to conform to the old architectures, so we are here
25 balancing that. It sounds to me like that should be a factor

1 that I should consider. The extent to which those costs are
2 absorbed, if they are not overwhelming then I would like to
3 spur innovation in that area.

4 THE WITNESS: It may very well be the case that we
5 are arguing a lot of this on principle as opposed to -- the
6 costs may not be overwhelming. And if we are talking about a
7 Tampa, for example, or St. Pete, pick your favorite local
8 calling area for Verizon. I mean, and let's say the average
9 length of haul of transport that Verizon would provide for
10 itself and its customers today is ten miles and some customers,
11 you know, one mile and some customers maybe 15 miles, but on
12 average we provide ten miles of local calling, or transport of
13 a call. It could very well be the case that an AT&T or a
14 WorldCom says, gee, I'm going to put my POI outside of your
15 local calling area, and it is 11 miles away. That extra mile,
16 and Verizon will say, hey, we are willing to offer ten at no
17 charge, and the extra mile may not be all that costly. And
18 that is an absolutely true statement.

19 CHAIRMAN JACOBS: Very well. Redirect.

20 REDIRECT EXAMINATION

21 BY MS. CASWELL:

22 Q I just have one question as a follow-up to Chairman
23 Jacob's point. He talked about balancing the ALEC and the ILEC
24 interests and the financial responsibility for the placement of
25 the POI. Did you have a proposal in your rebuttal testimony

1 that would do that sort of balancing?

2 A Well, I mean, I think I would suggest that is what --
3 the proposal I was trying to make, you know, in two forms --
4 well, I just gave fundamentally a shorthand version of the
5 proposal. If we provide an average length of transport today
6 to our customers, and we think those are covered by the rates,
7 that is, let's suppose customer A is calling customer B and
8 they are both Verizon customers in the Tampa exchange.

9 An ALEC comes along, WorldCom, AT&T, whoever it may
10 be, and takes that customer. Well, we were willing to provide
11 that transport before for whatever the flat rate the customer
12 is paying us, it seems to me we ought to be willing to provide
13 it now. It is when you go beyond the local calling scope and
14 the additional causal responsibility goes to the ALEC, I think,
15 rather than the ILEC. And that is essentially the proposal
16 that is being made here calling it virtual interconnection
17 points.

18 MS. CASWELL: Thank you. That's all I have.

19 CHAIRMAN JACOBS: Exhibits.

20 MS. CASWELL: Verizon moves Exhibit -- I think 13 was
21 the Jones' exhibit which is already in, 14 and 15 were Mr.
22 Beauvais' exhibits.

23 CHAIRMAN JACOBS: Without objection, show Exhibit 14
24 and 15 are admitted. And if there is nothing else, Doctor
25 Beauvais, you are excused.

1 THE WITNESS: Thank you, sir.

2 (Exhibit 14 and 15 admitted into the record.)

3 CHAIRMAN JACOBS: That will conclude today. Okay.

4 We'll start at 9:00 a.m. tomorrow morning. And thank you all.

5 We are adjourned until then. In recess.

6 (The hearing recessed at 6:20 p.m.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


1 STATE OF FLORIDA)
2 : CERTIFICATE OF REPORTER
3 COUNTY OF LEON)
4

5 I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter
6 Services, FPSC Division of Commission Clerk and Administrative
7 Services, do hereby certify that the foregoing proceeding was
8 heard at the time and place herein stated.

9 IT IS FURTHER CERTIFIED that I stenographically
10 reported the said proceedings; that the same has been
11 transcribed under my direct supervision; and that this
12 transcript constitutes a true transcription of my notes of said
13 proceedings.

14 I FURTHER CERTIFY that I am not a relative, employee,
15 attorney or counsel of any of the parties, nor am I a relative
16 or employee of any of the parties' attorney or counsel
17 connected with the action, nor am I financially interested in
18 the action.

19 DATED THIS 19TH DAY OF JULY, 2001.

20
21
22
23
24
25


JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732