


BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 010098-TP

In the Matter of

PETITION BY FLORIDA DIGITAL NETWORK,  
INC. FOR ARBITRATION OF CERTAIN  
TERMS AND CONDITIONS OF PROPOSED  
INTERCONNECTION AND RESALE  
AGREEMENT WITH BELLSOUTH  
TELECOMMUNICATIONS, INC. UNDER THE  
TELECOMMUNICATIONS ACT OF 1996.



ELECTRIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 1

Pages 1 through 169

PROCEEDINGS: HEARING

BEFORE: COMMISSIONER J. TERRY DEASON  
COMMISSIONER LILA A. JABER  
COMMISSIONER MICHAEL A. PALECKI

DATE: Wednesday, August 15, 2001

TIME: Commenced at 9:35 a.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: TRICIA DeMARTE  
Official FPSC Reporter  
(850) 413-6736

DOCUMENT NUMBER-DATE

FLORIDA PUBLIC SERVICE COMMISSION 0547 AUG 24 01

FPSC-COMMISSION CLERK

## 1 APPEARANCES:

2 MATTHEW J. FEIL, 390 North Orange Avenue, Suite 2000,  
3 Orlando, Florida 32801-1640, and MICHAEL C. SLOAN, Swidler,  
4 Berlin, Shereff & Friedman, LLP, 3000 K Street, Northwest,  
5 Suite 300, Washington, District of Columbia, appearing on  
6 behalf of Florida Digital Network, Inc.

7 NANCY B. WHITE and PATRICK W. TURNER, c/o Nancy H.  
8 Sims, 150 South Monroe Street, Suite 400, Tallahassee, Florida  
9 32301-1556, appearing on behalf of BellSouth  
10 Telecommunications, Inc.

11 FELICIA BANKS and JASON FUDGE, FPSC Division of Legal  
12 Services, 2540 Shumard Oak Boulevard, Tallahassee, Florida  
13 32399-0850, appearing on behalf of the Commission Staff.

14

15

16

17

18

19

20

21

22

23

24

25

## I N D E X

## MISCELLANEOUS

	PAGE NO.
Opening Statement by Mr. Feil	7
Opening Statement by Mr. Turner	13

## WITNESSES

NAME:	PAGE NO.
MICHAEL P. GALLAGHER	
Direct Examination by Mr. Feil	23
Prefiled Direct Testimony Inserted	26
Prefiled Rebuttal Testimony Inserted	79
Cross Examination by Mr. Turner	113
Cross Examination by Ms. Banks	156
Redirect Examination by Mr. Feil	158
Recross Examination by Mr. Turner	165
Further Redirect Examination by Mr. Feil	167

CERTIFICATE OF REPORTER	169
-------------------------	-----

## EXHIBITS

1 2 3 4 5 6 7 8 9 10 11 12 13 14 15 16 17 18 19 20 21 22 23 24 25	NUMBER:		ID.	ADMTD.
	1	Stip 1, Responses from FDN's first set of interrogatories to BellSouth, numbers 2-13 and 20-25	20	22
	2	Stip 2, Responses from BellSouth's first set of interrogatories to FDN, numbers 1-8	21	22
	3	Stip 3, Responses from Staff's second set of interrogatories to BellSouth, numbers 5-11	21	22
	4	Stip 4, Responses from Staff's second set of interrogatories to FDN, numbers 3-8	21	22
	5	Stip 5, Responses from Staff's second set of interrogatories to BellSouth, numbers 52-70	21	22
	6	MPG-1	25	167
	7	Diagram of a DSLAM in a CO	116	168
	8	Diagram of a DSLAM in an RT	116	168

## P R O C E E D I N G S

1  
2 COMMISSIONER DEASON: Call the hearing to order.  
3 Counsel, could I have the notice read, please.

4 MS. BANKS: Pursuant to notice issued July 26th,  
5 2001, this time and place has been set for a hearing in Docket  
6 Number 010098-TP, petition by Florida Digital Network, Inc.,  
7 for arbitration of certain terms and conditions of proposed  
8 interconnection and resale agreement with BellSouth  
9 Telecommunications, Inc., under the Telecommunications Act of  
10 1996.

11 COMMISSIONER DEASON: Thank you. Take appearances.

12 MS. WHITE: Nancy White and Patrick Turner for  
13 BellSouth Telecommunications.

14 MR. FEIL: Matthew Feil for Florida Digital Network.

15 MR. SLOAN: Michael Sloan with Swidler, Berlin,  
16 Shereff & Friedman for Florida Digital Network.

17 MS. BANKS: Felicia Banks and Jason Fudge on behalf  
18 of PSC Staff.

19 COMMISSIONER DEASON: Preliminary matters.

20 MS. BANKS: Yes, Commissioner Deason, there are just  
21 a couple things that Staff just want to note. Although parties  
22 have indicated that they are not anticipating using any  
23 confidential information during the hearing, Staff would like  
24 to note that on August 14th, 2001, BellSouth filed a notice of  
25 intent to request specified confidential classification of

1 BellSouth's response to FDN's Interrogatory Number 57.

2 And the one other thing that Staff wanted to note for  
3 the record is that on August 14th, FDN filed a notice of  
4 withdrawal of Issues 3B and 10 in this docket.

5 COMMISSIONER DEASON: Very well. I want to take this  
6 opportunity to commend the parties, especially in light of  
7 yesterday, for your efforts in trying to work together to solve  
8 your differences and to bring to the Commission those matters  
9 which are -- obviously cannot be resolved and to allow the  
10 Commission to focus on those issues. I'm going to keep this  
11 case as a poster child for the concept of eliminating issues  
12 and focussing on the important issues. I think this is a prime  
13 example of that, so congratulations.

14 MR. SLOAN: Thank you.

15 COMMISSIONER DEASON: Okay. Any other preliminary  
16 matters?

17 MS. BANKS: That's all that Staff is aware of at this  
18 time.

19 COMMISSIONER DEASON: Very well. Do the parties have  
20 any preliminary matters?

21 MR. FEIL: Commissioners, I just wanted to mention  
22 two things. First is, although I indicated at the prehearing  
23 conference I'd file a motion for official notice of various  
24 orders of the FCC and other state commissions, Ms. Banks  
25 informed me that the Commission is sort of moving away from the

1 necessity of that. I have provided everybody with a list of  
2 orders that we're aware of to date that we may be referring to.  
3 And, again, I'll provide them copies of the orders if the  
4 parties ask for it, provide them a copy of the list I'm  
5 referring to, if they ask for it as well.

6 The second thing was, as Ms. Banks pointed out, we  
7 withdrew Issues 3B and 10. As a result, Mr. Kephart was  
8 told -- Mr. Kephart is a BellSouth witness -- he was told that  
9 he did not need to be here today, so I just wanted to note that  
10 for your prehearing order.

11 COMMISSIONER DEASON: Very well. We have set aside  
12 time for opening statements, five minutes for each side. And,  
13 Mr. Feil, this is basically your petition for arbitration, I'll  
14 let you proceed first.

15 MR. FEIL: Thank you. Commissioner, FDN's petition  
16 as amended included ten-plus issues. Working with BellSouth,  
17 we've resolved some of those issues, and we simply withdrew  
18 others. There's only one issue left in this proceeding. It's  
19 identified as Issue Number 1 in your prehearing order. We  
20 tried to resolve this issue, too, actually, but unfortunately  
21 weren't able to do so. That one issue is vitally important to  
22 competition in the state of Florida. The issue is relatively  
23 simple, but it resonates in a tremendous way. And the issue is  
24 this: Whether or not FDN must have an opportunity to compete  
25 in the DSL market. There is no competition for DSL in

1 BellSouth's territory in Florida. There will be evidence in  
2 this case that over 99 percent of those with DSL in BellSouth's  
3 territory receive it through BellSouth. The reason is because  
4 BellSouth rejects that it has any obligation under the Federal  
5 Telecom Act or Chapter 364 to provide resale DSL or UNE  
6 products so CLECs can provide DSL service.

7 I'm sure you've heard this story before, what DSL is.  
8 DSL is a technology that permits high-speed access to the  
9 Internet and other services over what's called the  
10 high-frequency portion of a copper loop. DSL transmission over  
11 the high-frequency portion of the loop occurs such that you can  
12 have DSL over the same line that you have plain old telephone  
13 service, or POT service, on the low-frequency portion of the  
14 loop. DSL demand is growing, and carriers are interested in  
15 providing that DSL service and packaging it with other  
16 telecommunications services.

17 So with that background in mind, I wanted to sort of  
18 put the hay down where the goats can eat it, as  
19 Commissioner Gunter used to say, and that's through an example.  
20 Let's say you have a customer, let's call it Shreve's Clothing  
21 Store. It's a BellSouth customer; he's got three lines. It's  
22 a small business. Two of the lines he uses basically for voice  
23 service. The third line he uses for fax, but he also has over  
24 that third line BellSouth DSL service. He wants to switch to  
25 FDN, and he may want to switch because he thinks he can get a



1 better rate from FDN or because he doesn't like big business,  
2 whatever the reason may be. Anyway, because Mr. Shreve or  
3 Shreve's Clothing Store has BellSouth DSL, he either can't make  
4 the switch, or he can make the switch but without DSL service.

5           There are three reasons for this. The first is,  
6 BellSouth will not permit the customer to buy BellSouth Fast  
7 Access Internet service unless the customer also purchases  
8 BellSouth voice service. The second is that BellSouth will not  
9 resell DSL service to FDN or any other CLEC. Third, BellSouth  
10 does not sell UNEs that permit Florida Digital Network to  
11 provide its own brand of DSL.

12           In short, competitive carriers like FDN are out of  
13 luck, and customers do not have a competitive choice. This is  
14 a problem now, and as demand for DSL increases and it moves  
15 into residential market, the problem will only get bigger. FDN  
16 submits BellSouth's refusal to make DSL service available to  
17 CLECs is anticompetitive, delays getting DSL to the largest  
18 number of customers quickly, and is contrary to state and  
19 federal law.

20           Let me talk about those three reasons that I  
21 mentioned. In a late 1999 order, the FCC in what's called its  
22 Line Sharing Order first established the high-frequency portion  
23 of the loop must be made available to requesting carriers. The  
24 carriers that pushed the FCC for this product, this line  
25 sharing product, were known as the DLECs, or data LECs. Under

1 line sharing service, the ILEC provides the voice service and  
2 the DLEC would provide the data service. But the DLECs who  
3 asked for the line sharing product had no voice product, had no  
4 voice service strategy. Their interest was only in the  
5 high-speed data portion of the product, and the DLECs, as  
6 you're aware, are rapidly disappearing. But there is nothing  
7 in the Line Sharing Order that prevents an FDN voice customer  
8 from purchasing DSL service from BellSouth.

9           As a common carrier, BellSouth should be obligated to  
10 provide that service, and the customer, Shreve's Clothing  
11 Store, in our example shouldn't have his DSL shut off simply  
12 because he converts to FDN voice service. Nothing in the Line  
13 Sharing Order forecloses FDN from reselling BellSouth DSL when  
14 FDN is a voice provider. So why as to the second reason does  
15 BellSouth refuse to resell DSL?

16           The Federal Act, Section 251(c)(4) obligates ILECs to  
17 resell telecom services that the carrier provides at retail.  
18 BellSouth will be arguing one or a combination of things.  
19 BellSouth combines -- number one -- one of the arguments that  
20 it will be raising is, BellSouth combines the DSL service with  
21 Internet access service and sells the DSL component only to  
22 itself or to ISPs; therefore, it's not a retail service.

23           The only thing BellSouth will be arguing, or may be  
24 arguing, is that a BellSouth affiliate is involved in the  
25 transaction somewhere, and therefore, BellSouth is not selling

1 DSL at retail. Either way, BellSouth is wrong. BellSouth  
2 shouldn't be able to avoid the resale obligation by combining a  
3 telecommunication service it provides at retail with another  
4 service any more so than by combining a voice service with  
5 features and arguing that that's not a telecommunication  
6 service at retail. It's still providing the service at retail.

7           Second, to the extent BellSouth argues that there's  
8 an affiliate involved, it shouldn't be able to avoid the resale  
9 obligation through involvement of an affiliate any more so than  
10 it should be permitted to avoid the LD, or long distance,  
11 prohibition through a separate affiliate. BellSouth should  
12 have to resell DSL service to FDN.

13           The final measure for curing this issue that FDN has  
14 proposed in this case is the use of UNEs to provide DSL. This  
15 issue is somewhat complicated, and it's explained at length in  
16 Mr. Gallagher's testimony. I wanted to give you a brief  
17 introduction to the issue. The classic model for network  
18 architecture is a copper loop from the customer premise to a  
19 central office, or CO. That's not BellSouth's network  
20 architecture in Florida. Their network consists of thousands  
21 of intervening remote terminals between the customer premises  
22 and the CO, and BellSouth has literally thousands of these  
23 remote terminals in Florida. You can think of them, more or  
24 less, as mini central offices where copper wire is terminated,  
25 aggregated, and transported over larger data pipes. And the

1 magnitude of the remote terminal architecture is such that  
2 while there are fewer than 200 central offices in BellSouth's  
3 territory in Florida, there are more than 12,000 remote  
4 terminals where the pipe between the remote terminal and the  
5 central office is fiber, not copper. The problem is that DSL  
6 only works over copper facilities. So in order for a carrier  
7 to provide DSL in the remote terminal architecture it has to  
8 place what's called a DSLAM, or digital subscriber line access  
9 multiplexer, in the remote terminal.

10           BellSouth itself has actively been placing DSLAMs in  
11 its remotes and has told FDN and CLECs that to provide DSL, the  
12 CLECs must do the same, collocate DSLAMs in the remote  
13 terminals. BellSouth knows full well that this is an  
14 impossibility for CLECs, and CLECs are thus impaired in  
15 providing the DSL service and FDN is impaired.

16           FDN estimates that it could cost hundreds of millions  
17 in nonrecurring and recurring costs and could take years to  
18 collocate in so many BellSouth remote terminals. BellSouth is  
19 not denying CLECs the right to collocate at the remote  
20 terminals. Testimony that they are offering -- there's  
21 testimony that will be introduced in the record that BellSouth  
22 is offering collocation at remote terminals on terms and  
23 conditions generally more favorable than those applicable to  
24 collocation at COs.

25           Now, how do we know that FDN is impaired? Well, you

1 are going to hear testimony in the record from Mr. Gallagher  
2 about cost and about impracticability. As a matter of fact,  
3 you will also hear testimony that no CLEC has collocated at so  
4 much as one BellSouth remote terminal a DSLAM, nor has any CLEC  
5 even applied to collocate at a DSLAM, and it's unlikely that  
6 any will.

7 BellSouth will be arguing with regard to this UNE  
8 issue, unbundled network element issue, the FCC's UNE Remand  
9 Order. And in that order, the FCC addresses requirements for  
10 unbundling packet switching which includes the DSLAM. With  
11 regard to that, I would like the Commission to recognize two  
12 things. One, we believe that the UNE Remand Order is a product  
13 of a different time and a different understanding. The FCC was  
14 acting on an estimation of where it thought the industry was  
15 going. Given where the industry actually developed and the  
16 circumstances of this case, the UNE Remand Order actually  
17 supports FDN's position.

18 The second thing I would like for you to recognize  
19 with regard to the UNE issue is that the Federal Act and the  
20 rules set the criteria for this Commission to establish  
21 additional unbundled network elements. Those requirements are  
22 met in this case as evidenced by the testimony of  
23 Mr. Gallagher. Thank you.

24 COMMISSIONER DEASON: Thank you. BellSouth.

25 MR. TURNER: Thank you, Commissioner Deason. My name

1 is Patrick Turner; I represent BellSouth. There is a  
2 five-minute limit on the opening. I will do my best to respond  
3 to everything within five minutes. I think Mr. Feil went a  
4 little bit longer, and if I need it, I will ask for just a  
5 little bit longer. But I will do everything I can to do this  
6 as quickly as possible, so we can hear this through the  
7 witnesses.

8 COMMISSIONER DEASON: You can take more than five  
9 minutes. There's only one issue in this docket.

10 MR. TURNER: Thank you, sir. I'm going to address in  
11 order the three main points Mr. Feil raised. The first is  
12 whether BellSouth will permit its Fast Access Internet service  
13 over a UNE line that another carrier is using to provide voice  
14 service. Second, I'll talk about the resale arguments, and  
15 third, I'm going to talk about the DSLAM that you heard him  
16 mention.

17 First, it's true, BellSouth does not provide its  
18 Internet service, Fast Access Internet service, over a UNE loop  
19 that another carrier is using to provide voice service to the  
20 end user. And in its Third Report and Order on reconsideration  
21 in Docket 98-147 the FCC said, "Although the Line Sharing Order  
22 obligates incumbent LECs to make the high-speed frequency  
23 portion of the loop separately available to competing carriers  
24 on loops where incumbent LECs provide the voice service, it  
25 does not require that they, being incumbent LECs, provide xDSL

1 service when they, the ILEC, are no longer the voice provider."  
2 That's as clear as you can say it.

3           The second issue I'd like to address is resale. And  
4 in doing so, I want to distinguish between two separate  
5 products. One product is BellSouth Fast Access Internet  
6 service. That is an Internet service that we provide to retail  
7 end users. It is not a telecommunication service. It's an  
8 enhanced service or is a -- has been known in the past an  
9 information service, but it's an Internet service just like  
10 FDN.net's Internet service or any other Internet service that  
11 you can go out and buy. Because it is an information service  
12 and not a telecommunication service, it simply is not subject  
13 to the resale provisions of the Act. The Act only requires the  
14 resale of telecommunications services.

15           The second product that is out there is a federally  
16 tariffed DSL offering. That's not Internet service. That is  
17 the pipe, the big pipe that is used by the Internet service  
18 provider to put his Internet service through. If you think of  
19 DSL as a pipe, you would think of the Internet service as the  
20 water flowing through the pipe. BellSouth sells that pipe, but  
21 it does not sell that pipe to any end user. BellSouth sells  
22 the pipe to Internet services providers. And the Internet  
23 service providers in turn put their water through the pipe and  
24 sell that package to the end user.

25           Now, why is that important? Well, in June of this

1 year, the D.C. Circuit affirmed an FCC ruling that said this.  
2 The FCC ruling said, if you take that DSL pipe and you sell it  
3 directly to an end user, that's a retail offering, and you have  
4 to resell that, but if you take that pipe and you sell it to an  
5 ISP, that is not a retail offering. That is a wholesale  
6 offering, and that wholesale offering is not subject to resale.  
7 And the D.C. Circuit affirmed that decision. And that's what  
8 we're doing here. We don't sell the pipe to an end user, and  
9 tell the end user, you go out there and find somebody to throw  
10 water through the pipe for you. We sell the pipe to the ISP.  
11 They put their water through the pipe, and they give it to the  
12 end user. So that's why this is not subject to the resale.  
13 It's very clear under the recent court orders.

14           The third thing I want to address is the UNE argument  
15 that really boils down to a DSLAM. FDN is asking -- on Page 13  
16 of Mr. Gallagher's testimony, he says he's asking for a  
17 broadband loop. And he explains the difference in that  
18 broadband loop he's asking for, and the DSL capable loops that  
19 BellSouth provides is that his broadband loop is going to  
20 include packet switching functionality. That's the additional  
21 thing they want as a UNE, packet switching functionality. And  
22 the FCC has ruled on that. More particularly, what they really  
23 want, we think we're going to show by testimony, and we're  
24 going to have some diagrams and walk through this to make it  
25 easier to understand, but as Mr. Feil said, what they really



1 need is, they need a DSLAM. In those remote terminals that are  
2 out there, they need a DSLAM in that remote terminal in order  
3 to provide this high-speed data service they want to provide.  
4 And you know what? When BellSouth wants to provide high-speed  
5 Internet service to the same customers served out of that same  
6 remote terminal, BellSouth has to put a DSLAM in there. As  
7 Mr. Feil said, BellSouth has been doing this in recent years.  
8 These DSLAMs, they're not equipment that's been sitting in the  
9 ground for the past 50 years. This is new stuff. We've been  
10 rolling this stuff out in the last three or four years, since  
11 the Act came out, since CLECs were there, since DLECs were  
12 there. And when we want to serve our data customers, we've got  
13 to put a DSLAM in that remote terminal just like we're saying  
14 they should put a DSLAM in the remote terminal.

15           So let's look at what you really have to look at.  
16 This issue is, and they acknowledge this, is are they impaired  
17 in their ability to provide this high-speed service if they  
18 don't have access to BellSouth's DSLAM? That's the issue.  
19 Now, the FCC has ruled on this. The FCC in its UNE Remand  
20 Order plainly and clearly stated a couple of things, and we'll  
21 get through this in the testimony. But the first thing it did  
22 is, it said a DSLAM -- we define a DSLAM to be a part of packet  
23 switching. And then they came back and said in the next couple  
24 of paragraphs, we decline to unbundle packet switching.

25           As Mr. Ruscilli points out throughout his testimony,

1 there are plenty of places in that UNE Remand Order where they  
2 say, we want to provide the full functionality of a loop except  
3 for DSLAMs. They made it very clear, a DSLAM is not a UNE.  
4 Now, after the FCC applied the very same impairment standard  
5 that FDN is asking this Commission to apply and determined that  
6 these DSLAMs are not UNEs. This Commission itself looked at  
7 the issue in two separate dockets, the ICG Telecom docket and  
8 the Intermedia docket. Those are both arbitration proceedings  
9 with BellSouth. And applying the exact same impairment  
10 standard the FCC applied, applying the exact same impairment  
11 standard that FDN wants you to apply today, this Commission has  
12 determined that that's not a UNE.

13           So very briefly, let's look and see what FDN would  
14 have to do and whether it meets the impairment standard. As I  
15 stated before, when BellSouth wants to provide DSL service,  
16 BellSouth has to go to the remote terminal that's serving its  
17 customers and determine whether it makes sense to put a DSLAM  
18 in that remote terminal. When it does so, if there are space  
19 limitation issues, BellSouth has to resolve those issues, has  
20 to expand the terminal. If there's not sufficient power to  
21 support a DSLAM, we have got to put power in. If there's  
22 temperature control issues or air-conditioning issues, we've  
23 got to resolve those issues. If FDN wants to put a DSLAM in  
24 the same remote terminal, first of all, it's got to buy a  
25 DSLAM. And you're going to hear testimony today from FDN's own

1 witness that says they can buy a DSLAM. You've got several  
2 vendors out there who will sell it to them. They're getting  
3 competitive bids on them. They can buy the DSLAM. The next  
4 thing they need is collocation space. And as Mr. Feil told  
5 you, we make that collocation space available. If we've got a  
6 DSLAM on a remote terminal, we do what the FCC says we've got  
7 to do. We expand that thing and let them put a DSLAM in there  
8 if there's not space. If there's space there, they put it in  
9 and there's no issue. But if there is not space, you're going  
10 to hear Mr. Williams testify, we'll add the space. And when we  
11 do, it's BellSouth that's going to add the space, it's  
12 BellSouth that's going to deal with the local zoning  
13 authorities, it's BellSouth that's going to take every step it  
14 would have to take if it put its own DSLAM in there. We're  
15 going to all rent the space and make available space for a  
16 DSLAM.

17 Now, once FDN gets the DSLAM in the remote terminal,  
18 what else does it need? Well, it needs to connect the DSLAM to  
19 its end user and to the central office. Well, you're going to  
20 hear from Mr. Williams that we provide UNEs that get them  
21 there. We provide subloop elements, a UNE that will go from  
22 the remote terminal to the end user premises, and we provide as  
23 UNEs a fiber facility that will go from the remote terminal  
24 back to the CO. The only thing that we're not giving as a UNE  
25 that's important in this docket is that DSLAM. And it's not a

1 UNE. The FCC says it's not a UNE, and they're not impaired in  
2 their ability to do it, because they can buy a DSLAM and we'll  
3 work with them and augment the space and let them put that  
4 DSLAM into the remote terminal. Before I end, I just want to  
5 reiterate the standard that applies here. It's the impairment  
6 standard. The standard is not whether it would be more  
7 convenient for FDN if it could use BellSouth's DSLAM than if it  
8 had to put its own DSLAM in, and the standard is not whether it  
9 would be easier for FDN to implement its business plan if it  
10 could use the BellSouth DSLAM equipment instead of putting in  
11 its own. The issue is, is FDN impaired from putting in its own  
12 DSLAM? And we think the evidence will clearly show they're  
13 not. Thank you for your attention.

14 COMMISSIONER DEASON: Thank you. I believe we're at  
15 the point to where we can swear in witnesses. Staff, you have  
16 a number of exhibits. Do you want those identified at this  
17 point?

18 MS. BANKS: Yes, Commissioner Deason. Staff has  
19 conferred with parties, and these are stipulated exhibits.  
20 Stip 1 is selected responses from FDN's first set of  
21 interrogatories to BellSouth, specifically Interrogatory  
22 Numbers 2 through 13 and 20 through 25.

23 COMMISSIONER DEASON: That will be identified as  
24 Exhibit 1.

25 (Exhibit 1 marked for identification.)

1 MS. BANKS: Stip 2 is selected responses from  
2 BellSouth's first set of interrogatories to FDN, specifically  
3 Interrogatory Numbers 1 through 8.

4 COMMISSIONER DEASON: That will be identified as  
5 Exhibit 2.

6 (Exhibit 2 marked for identification.)

7 MS. BANKS: Stipulated Exhibit 3 or Stip 3 would  
8 be -- is selected responses from Staff's second set of  
9 interrogatories to BellSouth, specifically Interrogatory  
10 Numbers 5 through 11.

11 COMMISSIONER DEASON: That will be Exhibit Number 3.

12 (Exhibit 3 marked for identification.)

13 MS. BANKS: Stip 4 is selected responses from Staff's  
14 second set of interrogatories to FDN, specifically  
15 Interrogatory Numbers 3 through 8.

16 COMMISSIONER DEASON: That will be Exhibit 4.

17 (Exhibit 4 marked for identification.)

18 MS. BANKS: And Stip 5 is selected responses from  
19 Staff's second set of interrogatories to BellSouth,  
20 specifically Interrogatory Numbers 52 through 70.

21 COMMISSIONER DEASON: And that will be Exhibit 5.

22 (Exhibit 5 marked for identification.)

23 MS. BANKS: And that's all that Staff has.

24 COMMISSIONER DEASON: And there's no objection to  
25 entering these exhibits into the record? Hearing no objection,

1 then Exhibits 1 through 5 are admitted.

2 (Exhibits 1 through 5 admitted into the record.)

3 COMMISSIONER DEASON: I'll ask all witnesses who are  
4 here to please stand and raise your right hand.

5 (Witnesses collectively sworn.)

6 COMMISSIONER DEASON: Thank you. Please be seated.

7 Mr. Feil.

8 MR. FEIL: Florida Digital Network calls  
9 Michael Gallagher to the stand.

10 And, Commissioner, while Mr. Gallagher is working his  
11 way up, I wanted to sort of collectively ask the Commission and  
12 the parties for a preference question. A good deal of the  
13 testimony, the prefiled testimony, pertains to issues that have  
14 since been withdrawn. We could either leave it all as is in  
15 the record, or we can walk Mr. Gallagher and the other  
16 witnesses through it to get it withdrawn or whatever --  
17 whatever the parties and the Commission prefers.

18 COMMISSIONER DEASON: BellSouth.

19 MS. WHITE: It would probably be easier just to leave  
20 it all in and just have the Commission take -- deal with the  
21 testimony on Issue 1 when it comes to the recommendation and  
22 the order.

23 MS. BANKS: Staff would agree with Ms. White.

24 Leaving it all in --

25 COMMISSIONER DEASON: I wonder if the court reporter

1 agrees with that.

2 MS. WHITE: Maybe not.

3 COMMISSIONER DEASON: Is this a problem for the court  
4 reporter? We're going to put all the testimony in. Some of it  
5 is really not necessary, but --

6 THE COURT REPORTER: No problem.

7 COMMISSIONER DEASON: No problem, okay. The court  
8 reporter agrees, then I agree.

9 MR. FEIL: All right. Thank you.

10 MICHAEL P. GALLAGHER

11 was called as a witness on behalf of Florida Digital Network,  
12 Inc., and, having been duly sworn, testified as follows:

13 DIRECT EXAMINATION

14 BY MR. FEIL:

15 Q Mr. Gallagher, you have been sworn, have you not?

16 A Yes. Yes, I have.

17 Q Okay. Are you the -- well, could you state your name  
18 and address for the record, please.

19 A Michael Gallagher, Florida Digital Network, 390 North  
20 Orange Avenue, Orlando, Florida.

21 Q Are you the same Michael P. Gallagher who prefiled  
22 direct and rebuttal testimony in this proceeding?

23 A Yes, I am.

24 Q Do you have any changes, additions, or corrections to  
25 any of your prefiled testimony?

1 A No.

2 Q Well, in your deposition, did you not correct one  
3 math error --

4 A Yes, that's correct, I did.

5 Q -- on Page 37 of your testimony?

6 A Yes.

7 Q Do you have that in front of you?

8 A Yes.

9 Q If you could, point us out to the page and line.

10 A Yes. The math error should be that -- instead of  
11 29.95, it should be \$29 even.

12 Q And on what line was that?

13 A Eleven and 12.

14 Q You said 29.95 should be \$20?

15 A Yes, \$20 even.

16 Q Twenty dollars.

17 A It should be 49 minus 20.95 equals 29 even.

18 Q All right. And that same number, \$29, goes on Line  
19 11 and Line 12?

20 A Yes.

21 Q Did you have any other corrections or updates or  
22 anything else regarding your prefiled testimony, either direct  
23 or rebuttal?

24 A No.

25 Q You had attached to your prefiled direct and rebuttal



1 testimony several exhibits, only, by my account, one of which  
2 pertains to an outstanding issue, and that is exhibit labeled  
3 MPG-1; is that correct?

4 A That's correct.

5 MR. FEIL: Commissioners, I would ask that you  
6 identify MPG-1 or give it the next assigned exhibit number,  
7 which I believe is 6.

8 COMMISSIONER DEASON: That will be 6, yes.

9 (Exhibit 6 marked for identification.)

10 MR. FEIL: Commissioners, at least with regard to the  
11 exhibits, we probably could easily throw out the excess on  
12 those, so --

13 COMMISSIONER DEASON: I agree.

14 MR. FEIL: All right. With that, Commissioner, I  
15 would ask that Mr. Gallagher's prefiled direct and prefiled  
16 rebuttal testimony be inserted into the record as though read.

17 COMMISSIONER DEASON: Without objection, I show then  
18 that the prefiled direct and rebuttal testimony of  
19 Witness Gallagher is inserted into the record.

20

21

22

23

24

25

1 **Q. Please state your name and address.**

2 A. My name is Michael P. Gallagher. My business address is 390 North  
3 Orange Avenue, Suite 390, Orlando, Florida, 32801.

4 **Q. Who do you work for?**

5 A. I am Chief Executive Officer of Florida Digital Network, Inc. ("FDN").

6 **Q. What are your responsibilities as CEO of FDN?**

7 A. As CEO of FDN, I am ultimately responsible to the shareholders for all  
8 aspects of FDN's operations and performance. On a management level,  
9 FDN's President & Chief Operating Officer, Chief Financial Officer and  
10 General Counsel report directly to me; FDN's Engineering & Operations,  
11 Customer Service, and Sales Vice Presidents report to the President & COO,  
12 who is also in charge of FDN's Marketing and IS functions. I am involved in  
13 the day-to-day business dealings of the company and the decision-making on  
14 everything from marketing and sales strategies, product development,  
15 network architecture and deployment, financing, human resources, customer  
16 care, regulatory changes, etc.

17 **Q. Please describe your education and your work experience in the**  
18 **telecommunications sector.**

19 A. I received a B.S. Degree in Mathematics with a minor in Physics from  
20 Rollins College.

21 Prior to co-founding FDN in 1998, I served as Regional Vice  
22 President for Brooks Fiber Communications where I had overall  
23 responsibility for operations, engineering, finance and sales in the State of

1 Texas. Brooks Fiber Communications merged into WorldCom on January  
2 31, 1998. Prior to holding the VP position at Brooks, I was president of  
3 Metro Access Networks (MAN), a second-generation CLEC in Texas  
4 founded in 1993. At MAN, I developed all business strategies, designed  
5 network architecture, secured contracts with the company's original customer  
6 base, and had overall responsibility for operations and performance. MAN  
7 merged into Brooks Fiber in March 1997. Prior to MAN, I worked for  
8 Intermedia Communications and Williams Telecommunications Group  
9 (WilTel) as sales representative securing contracts with large commercial  
10 customers.

11 **Q. Have you previously testified in a regulatory proceeding before a**  
12 **state utility commission, the FCC or a hearing officer?**

13 A. No.

14 **Q. What is the purpose of your testimony in this proceeding?**

15 A. I will address the interconnection agreement issues FDN could not  
16 resolve with BellSouth and which FDN raised in its Arbitration Petition.

17 **Q. Please briefly describe FDN's operations.**

18 A. FDN is a facilities-based Florida CLEC. FDN is also an IXC, a data  
19 services provider (both dial-up and dedicated), and, through an affiliate, FDN  
20 offers ISP and other Internet services. FDN was founded in 1998 with the  
21 mission of offering packaged services (local, long distance and Internet) to

1 small- and medium-sized businesses. FDN launched operations in Orlando in  
2 April 1999 and expanded to Fort Lauderdale in May 1999 and to Jacksonville  
3 in June 1999. A second round of expansion in West Palm Beach, Miami and  
4 the Tampa Bay area was completed in the first quarter of 2000.

5 FDN owns and operates Class 5 Nortel DMS-500 central office  
6 switches in Orlando, Tampa, Jacksonville, and Ft. Lauderdale. FDN's  
7 switches are connected by fiber optic cable owned and operated by FDN to  
8 nearby incumbent local exchange carrier (or "ILEC") tandem switches. FDN  
9 leases collocation cages or has virtual collocation space in over 100 ILEC  
10 wire centers. Remote switching equipment is installed at these collocation  
11 sites and from these sites FDN accesses ILEC UNE loops. Connectivity from  
12 the collocation sites to the central ILEC tandem switch is via T-1 circuits  
13 leased from the ILEC. FDN relies upon its rights under the federal  
14 Telecommunications Act of 1996 (the "Act") to obtain "last mile" access to  
15 Florida consumers through the purchase of unbundled network elements  
16 (UNEs) from ILECs such as BellSouth.

17 FDN uses BellSouth's TAG gateway for electronic ordering. Using  
18 systems and software FDN developed on its own, FDN transmits virtually all  
19 of its local service requests ("LSRs") to Bell electronically with minimal  
20 manual intervention. The vast majority of FDN's LSRs to BellSouth are for  
21 2 wire voice grade UNE loops. Based on information from BellSouth, FDN  
22 believes that FDN is by far the largest procurer of UNE voice-grade loops in  
23 Florida and that FDN has installed more UNE loops than all other CLECs in

1 Florida combined. Through relief sought in this proceeding, FDN intends to  
2 expand its use of BellSouth UNEs for the provision of competitive local  
3 voice and data services to both business and residential users in the State of  
4 Florida.

5 ISSUE 1.

6 **I. INTRODUCTION**

7 **Q. What is the purpose of FDN's high-speed data proposal?**

8 A. FDN seeks the ability to offer its customers a combination of circuit-  
9 switched voice services, such as local dial tone, and packet-switched high-  
10 speed data services, such as Digital Subscriber Line (DSL) services. FDN is  
11 able to provide DSL to some end-users in Florida by collocating its own DSL  
12 multiplexers (DSLAMs) in BellSouth's central offices. However, FDN is  
13 precluded from providing high-speed data service where BellSouth has  
14 deployed Digital Loop Carrier (DLC) facilities. Except in the territory served  
15 by SBC Communications, Inc., CLECs are generally precluded from offering  
16 DSL service where DLCs are deployed. The severity of this limitation on  
17 competition is felt nowhere more than Florida, as *more than 60%* of all  
18 BellSouth access lines in Florida pass through DLCs according to BellSouth.  
19 In FDN's experience in its initial Florida markets, FDN believes the  
20 percentage of DLCs approaches 70%. BellSouth does not offer any resale or  
21 UNE products that would enable CLECs to provide high-speed data service  
22 to consumers who are served by DLC loops where the CLEC is the voice  
23 provider. The purpose of my testimony is to offer the factual basis required

1 for the Florida Commission to order BellSouth to offer UNE and resale  
2 products, in accordance with applicable law, that will be essential for FDN to  
3 offer high-speed data services on an ubiquitous basis in Florida over the same  
4 customer loops that it uses to provide its voice services. This issue is of  
5 paramount importance for FDN to be able to launch a facilities-based  
6 competitive local voice option for residential subscribers. Florida is almost  
7 completely without facilities based local voice competition for residential  
8 subscribers at this time.

9 **Q. What is DSL?**

10 A. DSL is a technology initially developed to enable high-speed data  
11 transmission over traditional copper loop facilities. DSL modems placed on  
12 each end of a copper loop transmit information at rates far exceeding those  
13 typically achieved by traditional “dial-up” modems, allowing consumers to  
14 utilize the growing number of bandwidth intensive applications and to  
15 maximize efficiencies and productivity. To provide a viable DSL  
16 transmission service, the loop between the customer and the DSLAM must  
17 typically be shorter than 18,000 feet, free of bridged tap, load coils and  
18 repeaters, and free from interference caused by nearby fiber-based  
19 telecommunications.

20 **Q. Is FDN able to offer high-speed data services in conjunction with**  
21 **its voice service on a ubiquitous basis in Florida?**

22 A. No. FDN is collocated in more than half of BellSouth’s central  
23 offices in the state of Florida, and is able to offer voice services to 100% of

1 the consumers served by these offices. However, FDN is unable to provide  
2 DSL service to approximately 70% of these end-users because of the  
3 presence of BellSouth DLCs.

4 **Q. What are DLCs?**

5 A. The DLC performs an analog to digital conversion that aggregates  
6 telecommunications from the individual customer subloops to a shared  
7 transmission facility bound for the central office. Deployment of DLCs and  
8 successor technologies will ultimately save billions of dollars annually in  
9 maintenance and switching costs. In the past, and still today throughout most  
10 of the country, the vast majority of last mile loops consist of “home run”  
11 copper facilities between the customer and the central office. However, in  
12 the past quarter-century, as Florida’s population grew explosively, BellSouth  
13 deployed a tremendous number of DLCs at remote terminals (RTs) in its  
14 distribution network. Attached hereto as Exhibit \_\_ (MPG-1) is a diagram  
15 comparing traditional copper network architecture with DLC deployment.

16 **Q. Why do BellSouth’s DLCs preclude FDN from offering DSL**  
17 **service?**

18 A. DSL cannot be transmitted through a DLC unless it is first  
19 multiplexed for digital transmission to the central office. Therefore, the  
20 carrier must locate at the remote terminal a DSLAM, or, in the case of Next  
21 Generation Digital Loop Carriers (“NGDLCs”), DSL-capable line cards that  
22 perform DSLAM functionality. For reasons I will explain below, unlike  
23 BellSouth, FDN and other CLECs cannot collocate DSLAMs or line cards at

1 remote terminals. Therefore, BellSouth today is the only carrier in Florida  
2 able to offer DSL service where its DLCs are deployed.

3 **Q. Why can CLECs provide high-speed data service over DLC loops**  
4 **in the territory served by SBC?**

5 A. SBC offers a wholesale UNE-priced broadband loop product that  
6 includes transmission from the customer to the remote terminal, DSLAM  
7 functionality at the RT, and transmission to the central office, where CLECs  
8 pick up the traffic from SBC's packet switch. Verizon is developing a  
9 similar product. As I will explain in more detail below, FDN seeks a similar  
10 UNE from BellSouth, tailored to the technical specifications of BellSouth's  
11 Florida network.

12 **Q. Can FDN sustain long-term viability if it is limited to providing**  
13 **DSL only on non-DLC loops?**

14 A. It would be very difficult as demand for DSL increases. In most  
15 Florida central offices, more so than in most of the rest of the nation, FDN  
16 will not be able to succeed in the voice or data market if it is limited to  
17 providing DSL service only to end-users who can be served from the central  
18 office. As I stated previously, more than 60% of BellSouth's Florida access  
19 lines pass through DLCs and cannot be served from the central office. Of the  
20 remaining 30-40% of the end-user base, many cannot receive central office  
21 based DSL due to excessive loop lengths, the presence of bridged taps, load  
22 coils or repeaters, or other factors. With such a high percentage of the DSL  
23 market closed to central-office-only strategies, CLECs will not be able to



1 compete. Furthermore, if BellSouth is the only carrier that can provide DSL  
2 to a substantial percentage of consumers, it can leverage its market power to  
3 suppress competition for voice services, as I have indicated above.  
4 Therefore, an exclusive central office strategy will not only fail in the DSL  
5 market, but it could also fail in the voice services market as well. My point is  
6 well illustrated by the failure of many exclusive central-office based CLEC  
7 strategies, even where the rate of DLCs is much lower than Florida. Of the  
8 three major national DSL CLECs, NorthPoint has already dissolved in  
9 bankruptcy and Covad and Rhythms are in serious financial peril and could  
10 be bankrupt during the course of this year.

11 **Q. Why it is important for FDN to be able to offer both voice and**  
12 **data services?**

13 A. A large and growing number of residential and business customers are  
14 seeking carriers that can satisfy all of their telecommunications needs,  
15 including voice and high-speed data services. These customers want to be  
16 able to obtain these services through a single point of contact and on a single  
17 bill. If FDN is unable to offer high-speed data services, it will not only lose  
18 opportunities in the data market, but it will also be unable to remain  
19 competitive in the voice local exchange and interexchange markets in  
20 Florida.

21 **Q. Is FDN's objective to provide high-speed data service in Florida**  
22 **urgent?**

1           A.     Absolutely. It is well established that early entry and early name  
2           recognition are crucial to success in markets for new technologies and new  
3           services. BellSouth understands this as well, as it is aggressively deploying  
4           DSL in Florida today even as it denies competitors the resale and UNE DSL  
5           products that CLECs need to compete. With each day that passes, FDN falls  
6           further behind BellSouth in the high-speed data market, and the probability of  
7           losing its existing and prospective voice customers grows. In Florida alone,  
8           BellSouth by the end of April 2001 had 133,015 high-speed data subscribers  
9           in the State of Florida, 43,291 of which were added in the first quarter 2001.  
10          Florida customers represent nearly one-half of BellSouth's DSL lines region-  
11          wide, and approximately one-half of its first quarter growth. Therefore,  
12          FDN's efforts to obtain the resale and UNE products for a bundled DSL and  
13          voice offering are extremely urgent and are of utmost importance to FDN's  
14          short-term and long-term viability in the state.

15          **Q.     Does FDN's inability to offer voice and high-speed data on the**  
16          **same telephone line impair its ability to offer local exchange voice**  
17          **services in Florida?**

18          A.     Yes. First, as I mentioned, FDN's inability to offer high-speed data to  
19          most customers impairs its ability to sell voice services to customers looking  
20          for a bundled service offering from a single carrier. Second, FDN is impaired  
21          in its ability to sell local exchange voice services by BellSouth's unnecessary  
22          and anticompetitive practice of leveraging its control of the DSL market in  
23          Florida to injure competitors in the voice market. To illustrate, if a

1 prospective FDN customer today is obtaining both voice and data services  
2 from BellSouth, they are not able to migrate their local exchange voice  
3 service to FDN's facilities-based voice service without having BellSouth  
4 disconnect their data service, even though BellSouth easily has the capability  
5 to continue to provide data service on the line. Because FDN is unable in  
6 most cases to offer DSL service to the customer on the same telephone line,  
7 the customer is likely to lose interest in obtaining voice telephone services  
8 from FDN, even when FDN is able to offer superior pricing and service.  
9 BellSouth's ability to manipulate its market power to injure competitors will  
10 only increase as competitive DSL providers continue to disappear.

11 **Q. How does the lack of competitive DSL providers affect Florida**  
12 **consumers?**

13 A. In markets where only one or only a few providers are available, these  
14 providers have fewer incentives to provide quality service or competitive  
15 rates to their customers. As BellSouth has solidified its growing control over  
16 the DSL market in Florida, it recently raised its retail DSL prices in the state  
17 and discontinued some of its competitive promotions. If competitors are  
18 denied meaningful access to BellSouth's last mile connections to end-users,  
19 price increases could be expected to continue.

20 **Q. In this arbitration, is FDN requesting the same relief sought by**  
21 **MCI WorldCom in Docket No. 000649-TP that BellSouth be required to**  
22 **provide xDSL service to FDN customers?**

1           A.     No. FDN is not in this arbitration seeking to require BellSouth to  
2           provide retail xDSL or ISP *services* to consumers who are also FDN  
3           customers. Instead, FDN proposes to purchase wholesale access to  
4           BellSouth's unbundled network elements pursuant to Section 251 of the Act.  
5           BellSouth would not be required to have end-user relationships, such as  
6           billing or customer service, with FDN's customers. Nor would BellSouth be  
7           required to connect the customers from the central office to an ISP's point of  
8           presence, or to provide Internet service itself; instead, as with other UNEs,  
9           FDN would access the loop via its collocated facilities in BellSouth's central  
10          offices. Therefore, the decision in the MCI WorldCom arbitration in Docket  
11          No. 000649-TP regarding BellSouth's obligation to provide xDSL service is  
12          not relevant in this arbitration.

13

14           **II.    BELLSOUTH SHOULD BE REQUIRED TO OFFER**  
15           **UNBUNDLED BROADBAND LOOPS AS A UNE**

16           **Q.    To enable FDN to provide bundled voice and high-speed data**  
17           **service products where DLCs are deployed, does FDN require access to**  
18           **facilities that are different from the UNEs offered in other BellSouth**  
19           **Florida interconnection agreements?**

20          A.     Yes. At the time that the current national list of UNEs was  
21          established in the FCC's *UNE Remand Order* in 1999, the FCC formalized as  
22          UNEs only the network elements needed for local exchange and DSL service  
23          in an ILEC network in which the predominant last mile connections are home

1 run copper loops. BellSouth's existing network in Florida is very different  
 2 from the FCC's conceived model, with more far more fiber and DLCs. Due  
 3 to the differences between BellSouth's DLC-dominated Florida network and  
 4 other ILECs' copper-based distribution systems, it is necessary to establish  
 5 additional UNEs and/or apply the FCC's standard to unbundle packet  
 6 switching in order to ensure that CLECs can provide ubiquitous xDSL  
 7 service in Florida using UNEs.

8 **Q. Can the Florida Commission establish new UNEs?**

9 A. Yes. Section 251(d)(3) of the Act explicitly authorizes state  
 10 commissions to establish additional unbundling obligations. When the FCC  
 11 established the basic list of UNEs that must be unbundled by all ILECs, the  
 12 FCC emphasized that "section 251(d)(3) grants state commissions the  
 13 authority to impose additional obligations upon incumbent LECs beyond  
 14 those imposed by the national list."<sup>1</sup> The *Line Sharing Order*, which sought  
 15 to promote unbundled CLEC access to DSL, further encouraged state  
 16 commissions "to impose additional, pro-competitive requirements consistent  
 17 with the national framework established in this order."<sup>2</sup>

18 **Q. What new UNEs are necessary to enable FDN to offer high-speed**  
 19 **data services in BellSouth's territory in Florida?**

20 A. Where BellSouth has deployed Digital Loop Carrier facilities, FDN  
 21 requires access to unbundled DSL-capable transmission facilities between the

---

1 *Implementation of the Local Competition Provisions of the Telecommunications Act of 1996*, CC Docket No. 96-98, Third Report and Order, 15 FCC Rcd. 3696, ¶ 154 (1999) ("*UNE Remand Order*").

2 *Deployment of Wireline Services Offering Advanced Telecommunications Capability*, CC Docket No. 98-147, Third Report and Order, 14 FCC Rcd. 20912, at ¶ 159 (1999) ("*Line Sharing Order*").

1 customer's Network Interface Device and the BellSouth distribution frame in  
2 its central offices, including all attached electronics that perform DSL  
3 multiplexing and splitting functionalities. I will describe these facilities as  
4 "broadband loops." FDN seeks the ability to obtain both whole loops for a  
5 combined voice and data service and the high-frequency portion thereof for  
6 data-only service.

7 **Q. How does this facility differ from the DSL-capable loop that is**  
8 **classified as a UNE under the UNE Remand Order?**

9 A. Under my description, broadband loops include the packet switching  
10 and splitter functionalities that are performed by BellSouth's equipment  
11 located at a remote terminal. The traditional UNE loop does not include the  
12 DSLAM.

13 **Q. Why would the network elements necessary to provide high-speed**  
14 **data service over DLC loops be different from the definition of a non-**  
15 **DLC loop?**

16 A. As I stated above, FDN is not able to offer xDSL service over DLC  
17 loops using only the existing UNEs. In the *UNE Remand Order*, the FCC  
18 determined that CLECs could place their own DSLAMs in ILEC central  
19 offices on the same terms and conditions that the ILEC located its own  
20 DSLAM, and that they were therefore not impaired by a lack of unbundled  
21 access to ILEC DSLAMs in the central office. As I will explain in more  
22 detail below, CLECs are not able to self-provision or otherwise obtain  
23 DSLAM functionality at ILEC remote terminals on an equivalent basis.

1 Even in rare cases where such provisioning may be technically feasible, the  
 2 option is financially impossible for FDN and other CLECs. Therefore, as I  
 3 will explain below, CLECs would be impaired if DSLAM functionality is not  
 4 included as part of the broadband loop UNE.

5 **Q. Is there a regulatory precedent for requiring incumbents to**  
 6 **provide a platform of UNEs that comprise DSL transmission over loops**  
 7 **with fiber feeder at prices based on forward-looking, economic cost?**

8 A. Yes. In a proceeding relating to the SBC-Ameritech merger, the FCC  
 9 required SBC to offer to CLECs a “Broadband Offering,” which the FCC  
 10 described as a “combination of network elements provided as a wholesale  
 11 arrangement.”<sup>3</sup> The Broadband Offering must be offered, alone and in  
 12 combination with a voice offering, at rates, terms, and conditions that are  
 13 just, reasonable, and nondiscriminatory and priced in accordance with the  
 14 TELRIC methodology applicable to unbundled network elements.<sup>4</sup> SBC’s  
 15 Broadband Service, which is available in SBC’s thirteen-state region today, is  
 16 functionally equivalent to the broadband loop requested by FDN in this  
 17 arbitration. Therefore, FDN is seeking from BellSouth what SBC already  
 18 offers to CLECs in its thirteen-state region.

19 **Q. Have any regulators classified broadband loops as a UNE?**

---

3 Ameritech Corp., Transferor and SBC Communications, Inc., Transferee, For Consent to Transfer Control of Corporations Holding Commission Licenses and Lines Pursuant to Sections 214 and 310(d) of the Communications Act and Parts 5, 22, 24, 25, 63, 90, 95, and 101 of the Commission’s Rules, CC Docket No. 98-141, ASD File No. 99-49, Second Memorandum Opinion and Order, FCC 00-336 (rel. September 8, 2000) (“*Project Pronto Order*”), at ¶ 30.

4 *Project Pronto Order* at ¶ 6 (footnote omitted).

1           A.     Yes. The FCC described the offering as a combination of network  
 2           elements and required that it be priced according to the TELRIC cost  
 3           methodology used to price UNEs.<sup>5</sup> The Illinois Commerce Commission  
 4           recently created the broadband loop with packet switching functionality as a  
 5           new UNE.<sup>6</sup> Numerous other state commissions are now considering the issue.  
 6           Although the issue is also pending in an FCC proceeding, the FCC has  
 7           indicated that it expects that issues related to access to DLC loops will be  
 8           addressed in state arbitration proceedings.

9           **Q.     Have any ILECs other than SBC made plans to offer a similar**  
 10          **combination of network elements to provide wholesale DSL capability?**

11          A.     Yes. Verizon has developed a draft proposal for a product that is  
 12          functionally equivalent of SBC's Broadband Offering and the broadband  
 13          UNE loop proposed by FDN in this case, called its Packet Access at Remote  
 14          Terminal Service (PARTS).

15          **Q.     Is CLEC access to DLC-served customers less urgent in BellSouth**  
 16          **territory than in SBC and Verizon's regions?**

---

5 The FCC did not formally classify the offering as a UNE because it has reserved that issue to a pending generic case that will be applicable to all ILECs. *See* Deployment of Wireline Services Offering Advanced Telecommunications Capability, CC Docket 98-147, CC Docket 96-98, *Order on Reconsideration and Second Further Notice of Proposed Rulemaking in CC Docket No. 98-147 and Fifth Further Notice of Proposed Rulemaking in CC Docket 96-98*, FCC 00-297, at ¶¶ 81-83, 103-12, 119-28 (rel. Aug. 10, 2000).

6 *See* Arbitration Decision on Rehearing, *In the Matter of Petition for Arbitration Pursuant to Section 252(b) of the Telecommunications Act of 1996 to Establish an Amendment for Line Sharing to the Interconnection Agreement with Illinois Bell Telephone Company d/b/a Ameritech Illinois, and for an Expedited Arbitration Award on Certain Core Issues, et al.*, Illinois Commerce Commission, Docket Nos. 00-0312 and 00-0313 (Illinois Commerce Commission, Feb. 15, 2001) ("*Illinois Pronto Arbitration Order*"); see also *In the Matter of Illinois Bell Company Proposed Implementation of High Frequency Portion of Loop (HFPL)/Line Sharing Services*, Illinois Commerce Commission, Docket No. 00-0393, Order (Ill. Commerce Commission Mar. 14, 2001).



1 A. Absolutely not. In fact, this issue is more urgent in Florida because of  
2 BellSouth's massive deployment of DLCs in the state. SBC offered its  
3 broadband service in conjunction with its rollout of DSL-capable DLC loops,  
4 and Verizon has stated that it has not yet provided DSL over DLC loops. By  
5 contrast, BellSouth has already provisioned a tremendous number of DSL  
6 lines over DLC loops in Florida. In the absence of a broadband loop UNE, a  
7 higher percentage of Florida end-users are deprived of competitive choice of  
8 DSL and voice providers than would be occurring in SBC and Verizon  
9 territory.

10 **Q. What standard must the Florida Commission employ in deciding**  
11 **whether to create any new UNEs?**

12 A. FCC Rule 51.317 prescribes the legal standard to be used by state  
13 commissions when creating new UNEs.<sup>7</sup> When prospective UNEs implicate  
14 specified proprietary rights of the ILECs, a state must find that access to that  
15 element is "necessary." When no proprietary rights are implicated, the state  
16 need only find that CLECs would be "impaired" without access to the  
17 element. Under FCC rules, a network element is considered to be proprietary  
18 only if the ILEC demonstrates that it has invested resources to develop  
19 proprietary information or functionalities that are protected by patent,  
20 copyright or trade secret law.<sup>8</sup> The discrete elements such as line sharing,  
21 packet switching, and fiber functionality that comprise the unbundled access  
22 that are sought here have been previously deemed non-proprietary by the

---

7 47 C.F.R. § 51.317.

8 See 47 C.F.R. § 51.317(a).

1 FCC.<sup>9</sup> Therefore, in this arbitration, none of FDN’s proposals would  
 2 implicate BellSouth’s proprietary rights. For these reasons, the Florida  
 3 Commission should use the “impair” standard to determine whether any new  
 4 UNEs should be created.

5 **Q. How is the “impair” standard used by state commissions to create**  
 6 **new UNEs?**

7 A. When evaluating whether to unbundle a network element under the  
 8 “impair” standard, federal regulations require unbundling if lack of access to  
 9 the network element impairs a carrier’s ability to provide the services it seeks  
 10 to offer. “A requesting carrier’s ability to provide service is ‘impaired’ if,  
 11 taking into consideration the availability of alternative elements outside the  
 12 ILEC’s network, including self-provisioning by a requesting carrier or  
 13 acquiring an alternative from a third-party supplier, lack of access to that  
 14 element materially diminishes a requesting carrier’s ability to provide the  
 15 services it seeks to offer.”<sup>10</sup> The FCC rules establish that the “totality of  
 16 circumstances” must be considered to determine whether an alternative to the  
 17 ILEC’s network is available in such a manner that a requesting carrier can  
 18 *realistically* be expected to actually provide services using the alternative.<sup>11</sup>  
 19 When determining whether to require additional unbundling, FCC Rule  
 20 51.317(b) requires that the Commission consider the cost, timeliness, quality,  
 21 ubiquity, and impact on network operations that may be associated with any

---

9 See *UNE Remand Order* at ¶ 180 & 305; *Line Sharing Order* at ¶ 28.

10 47 C.F.R. § 51.317(b).

11 *UNE Remand Order* at ¶ 62.

1 alternatives to unbundling. In addition, other factors such as promotion of  
2 the rapid introduction of competition; facilities-based competition,  
3 investment, and innovation; or certainty to requesting carriers regarding the  
4 availability of the element may also be considered by the Commission.<sup>12</sup>

5 **Q. If broadband loops were not available as a UNE, are there any**  
6 **viable alternatives available to FDN to provide high-speed data service**  
7 **where BellSouth has deployed DLCs?**

8 A. No. If viable alternatives were available, FDN would be selling DSL  
9 today to customers served by DLC loops in Florida.

10 **Q. What options do you believe that BellSouth may assert as**  
11 **justifications for withholding UNE designation of broadband loops?**

12 A. I am aware that ILECs have alleged that at least three alternatives are  
13 available to CLECs -- CLEC collocation of DSLAMs at the remote terminal,  
14 the use of all-copper loops, and construction of their own distribution  
15 network. None of these options offer viable options for FDN or other  
16 CLECs. If left only with these options, FDN would be not only impaired but  
17 prevented from being able to offer DSL service to a growing majority of  
18 Florida consumers, and, as a result, would be impaired in its ability to offer  
19 voice local exchange services as well.

20 **Q. Could FDN provide ubiquitous DSL service to end-users served**  
21 **by DLCs by collocating DSLAMs at BellSouth's remote terminals?**

22 A. No. The cost of providing ubiquitous service throughout the state of  
23 Florida by collocating DSLAMs at remote terminals would be staggeringly

---

<sup>12</sup> See 47 C.F.R. § 51.317(c).

1 expensive, and well beyond the capability of FDN or other CLECs. FDN  
2 invested millions of dollars and much of its human and technical resources to  
3 collocate equipment in 100 of BellSouth's 196 central offices in the state of  
4 Florida. By contrast, BellSouth has more than **12,000** remote terminals in the  
5 state of Florida. Collocation on this scale is financially impossible for FDN  
6 and would be tantamount to duplication of a significant portion of  
7 BellSouth's monopoly-built last mile distribution network. In any case,  
8 collocation even at single remote terminals is precluded by numerous other  
9 factors. As evidence of this reality, according to BellSouth's discovery  
10 responses in this case, no CLEC has collocated, or even requested to  
11 collocate, at a BellSouth remote terminal in the entire state of Florida.

12 **Q. What factors preclude CLEC collocation at individual remote**  
13 **terminals?**

14 A. First, in most cases, even if BellSouth permitted FDN to collocate a  
15 DSLAM inside the remote terminal, no fiber feeder will be available to  
16 transport the telecommunications back to FDN's collocation site in the  
17 central office. BellSouth has repeatedly maintained that dark fiber will in  
18 most cases not be available to CLECs at these locations. In most or all cases,  
19 no dark fiber would be available from any third parties, as third parties would  
20 have had little reason to invest in fiber between two locations controlled and  
21 highly regulated by BellSouth. Therefore, in most cases, FDN could only use  
22 a remotely-located DSLAM if it were to construct its own fiber-optic

1 transport between the remote terminal and FDN's facilities, such as those it  
2 has collocated at BellSouth's central office.

3 **Q. Could FDN construct its own fiber-optic transmission between**  
4 **BellSouth's remote terminals and central offices for the purpose of**  
5 **providing DSL service through remotely-collocated DSLAMs?**

6 A. No. Such an endeavor would be prohibitively costly and time-  
7 consuming. The FCC noted that "the costs associated with self-provisioning  
8 or purchasing alternative elements from third-party suppliers are relevant to  
9 [a] determination of whether the element is a practical and economical  
10 alternative to the incumbent LEC's unbundled network element."<sup>13</sup> The cost  
11 of constructing new fiber facilities would be incredibly expensive, and  
12 completely unaffordable, to FDN or to a third-party supplier. Such  
13 construction would require FDN to incur tremendous costs to secure rights-  
14 of-way, dig up the path of the fiber, and install equipment. These costs  
15 would not justify the comparatively limited revenues that could be realized  
16 from high-speed data services to the limited number of end-users served by a  
17 single remote terminal.

18 **Q. How would these costs compare to the costs borne by BellSouth**  
19 **for its DSL connectivity?**

20 A. BellSouth has already years ago secured rights-of-way and incurred  
21 most of the costs of placing fiber. Unlike FDN, BellSouth would not be  
22 required to place new fiber in order to carry new traffic. When BellSouth  
23 informs CLECs that no dark fiber is available, that does not mean that no

---

<sup>13</sup> *UNE Remand Order* at ¶ 72.

1 fiber is available for *BellSouth's* use. ILECs typically reserve a substantial  
2 amount of fiber capacity between their remote terminals and central offices.  
3 Therefore, BellSouth would not have needed to place new fiber facilities to  
4 add DSLAMs and DSL to its remote terminals. Furthermore, even if its  
5 bandwidth were exhausted between an RT and central office, BellSouth can  
6 upgrade its bandwidth by changing the electronics on the ends of its lit fiber  
7 to secure additional bandwidth for its DSL. This option, which BellSouth  
8 will not provide to CLECs, is tremendously cheaper than installation of new  
9 fiber.

10 **Q. Even if dark fiber was available, would FDN be able to collocate**  
11 **DSLAMs at BellSouth's DLCs?**

12 A. No. In many cases, collocation may not be physically possible, and in  
13 all or nearly all cases, it would be prohibitively expensive and time  
14 consuming for FDN.

15 **Q. Why would CLEC DSLAM collocation at BellSouth remote**  
16 **terminals be physically impossible in some circumstances?**

17 A. The vast majority of BellSouth's 12,000-plus remote terminals in  
18 Florida are cabinets, which are much smaller than other typical RT structures,  
19 such as huts or controlled environmental vaults. Many DLCs therefore are  
20 housed in structures that are too small to support additional collocation of  
21 DSLAMs and necessary supporting infrastructure by several CLECs, or  
22 perhaps even by a single CLEC. DSLAMs require power and climate control  
23 infrastructure that likely is often not available at a remote terminal. Addition

1 of this additional infrastructure would require even more space, which may  
2 not be available.

3 **Q. Why would collocation of a DSLAM at BellSouth remote**  
4 **terminals be prohibitively expensive and time-consuming for FDN?**

5 A. DSLAM power and temperature control requirements exceed the  
6 standards of many remote terminals. CLECs would incur tremendous  
7 expense and delays in arranging for sufficient power capacity and  
8 infrastructure. In addition, as I noted above, if space within the RT were  
9 unavailable, FDN would be required to build an external structure to house its  
10 facilities, which would require substantial time and expense, including, but  
11 not limited to, securing acquisition of new land and/or establishment of new  
12 rights-of-way and all other approvals from local authorities necessary to  
13 construct FDN's own remote terminals. Remote terminals are often located in  
14 residential neighborhoods and are subject to increasing scrutiny.  
15 Neighborhoods now quiet about the presence of a single remote terminal may  
16 well object to plans by numerous CLECs each to place their own remote  
17 terminals. FDN, which does not have long-standing relationships with local  
18 authorities, could experience significant delays or expenses in securing such  
19 permission, if not outright rejection. On top of these expenses, BellSouth  
20 might seek to charge FDN for cross-connection facilities to its remote  
21 terminal. Taken together, ubiquitous collocation of DSLAMs at BellSouth  
22 remote terminals would cost FDN millions of dollars and would require years  
23 of difficult, if not impossible, efforts.

1           **Q.     Could FDN cost-justify these high DSLAM collocation expenses**  
2           **at a remote terminal for the purpose of offering DSL?**

3           A.     No. DSLAMs are very often too expensive to justify at a remote  
4           terminal due to the smaller number of customers that are served by an RT.  
5           Also, the FCC has determined that, in applying the cost factor of the  
6           impairment test, the state commission should consider the economies of scale  
7           enjoyed by incumbents as a result of their ubiquitous networks.<sup>14</sup> Unlike at a  
8           central office, the level of concentration present at a remote terminal is often  
9           as low as a hundred or a few hundred lines in total. At least in their early  
10          years of operations, CLECs cannot realistically hope to obtain a “take rate” of  
11          more than a small, single digit percentage of the total possible market for  
12          DSL service. BellSouth is able to garner a higher take rate, at least initially,  
13          because of its greater name recognition and established relationships with  
14          existing customers. Therefore, the cost of establishing a DSLAM collocation  
15          arrangement and fiber connectivity at each remote terminal may be so  
16          prohibitive as to never make economic sense given the few customers that  
17          any given CLEC might serve from an individual remote location. Indeed, if  
18          collocation of a stand-alone DSLAM at the remote terminal were the only  
19          available “option”, DSL competition in markets served by DLCs might never  
20          develop.

21          **Q.     Would CLECs be able to collocate DSLAMs at BellSouth remote**  
22          **terminals on the same terms and conditions afforded by BellSouth to its**  
23          **own DSL operations?**

---

<sup>14</sup> *UNE Remand Order* at ¶ 84.



1           A.     No. First, as I mentioned before, BellSouth has indicated that it will  
2           not provide the lit fiber to CLECs that BellSouth's DSL utilizes for transport  
3           to the central office. Second, CLECs will be severely disadvantaged  
4           wherever BellSouth deploys Next Generation Digital Loop Carrier  
5           ("NGDLC") systems, because BellSouth will be able to use digital line cards  
6           rather than DSLAMs at the remote terminal. These line cards, which perform  
7           the role of the DSLAM in NGDLC architecture, are small pieces of electronic  
8           equipment that that are plugged directly into the channel bank assembly of  
9           the Digital Loop Carrier.<sup>15</sup> Line cards are significantly smaller and cheaper  
10          and are more effective even than the smallest commercial DSLAM. I  
11          understand from BellSouth's statements in other proceedings that it has  
12          opposed collocation by CLECs of line cards at BellSouth NGDLCs.  
13          Therefore, BellSouth would deny the ability of CLECs to place DSLAM  
14          functionality at the remote terminal on the same terms and conditions that it  
15          affords to its own operations.

16          **Q.     You testified that it would be prohibitively time-consuming for**  
17          **FDN to collocate stand-alone DSLAMs and connect to lit fiber at**  
18          **BellSouth remote terminals. At what point does the resulting delay to**  
19          **FDN's deployment constitute an impairment of FDN's ability to provide**  
20          **high-speed data service?**

21          A.     Even if FDN had sufficient funding to collocate remote DSLAMs and  
22          construct or obtain lit fiber to the central office, the process in my estimation  
23          would require well more than one year before FDN could start to provide

---

<sup>15</sup> See, e.g., *Pronto Order* at ¶ 16.

1 service, and perhaps much longer. Construction of new external remote  
2 facilities or placement of new fiber could require time-consuming public  
3 approval processes. Furthermore, it is my understanding that in one of the  
4 few instances where a CLEC attempted to collocate a DSLAM at an ILEC  
5 remote terminal, cross-connection and construction issues remained  
6 unresolved more than one year after the initial collocation request was made.  
7 The FCC has held that “delays caused by the unavailability of unbundled  
8 network elements that exceed six months to one year may, taken together  
9 with other factors, materially diminish the ability of competitive LECs to  
10 provide the services that they seek to offer.”<sup>16</sup> FDN and the investors on  
11 which it relies place a valuable premium on speed to market, which is critical  
12 in the telecommunications market, especially for new advanced services.  
13 The FCC observed the importance of speed to market, noting that “incumbent  
14 LECs can take advantage of delays caused by the unavailability of unbundled  
15 network elements by using their unique access to most customers to gain a  
16 foothold in new markets, and, in markets where services may be offered  
17 pursuant to long term-contracts (*e.g.*, DSL and other advanced data services),  
18 to ‘lock-up’ customers in advance of competitive entry.”<sup>17</sup> Moreover, delays  
19 in the introduction of competitive services caused by the unavailability of  
20 unbundled elements would give BellSouth valuable time to entrench itself  
21 with existing customers.<sup>18</sup> If forced to endure delays of additional months or

---

16 *UNE Remand Order* at ¶ 89.

17 *UNE Remand Order* at ¶ 91.

18 *See UNE Remand Order* at ¶ 93.

1 years to build new remote structures, collocate DSLAMs, obtain cross-  
2 connections and deploy lit fiber, all while BellSouth adds thousands of new  
3 DSL customers in Florida every month, FDN will suffer serious competitive  
4 injuries. Delays increase the risk that FDN will fall irreparably behind  
5 BellSouth in the high-speed data market, and further enable BellSouth to use  
6 its growing control of the Florida DSL market to injure FDN's position in the  
7 voice services market.

8 **Q. Would it be possible for FDN to offer DSL on a ubiquitous basis**  
9 **over home run copper loops that do not pass through the BellSouth's**  
10 **DLCs?**

11 A. No. In the first instance, many DLCs are deployed at locations where  
12 copper loops are longer than 18,000 feet, and are therefore too long to carry  
13 DSL signals. Even where home run copper loops are DSL-capable, the  
14 quality of the DSL transmissions would be inferior to DLC loops and  
15 therefore would not be competitive in the consumer market. The FCC  
16 concluded that "the quality of alternative network elements available to the  
17 competitive LEC is relevant to a determination of whether a requesting  
18 carrier's ability to provide service is impaired" and that "a material  
19 degradation in service quality associated with using an alternative element  
20 will materially diminish a competitor's ability to effectively provide  
21 service."<sup>19</sup> Second, in many BellSouth serving areas, no copper facilities  
22 remain available for DSL.

---

<sup>19</sup> *UNE Remand Order* at ¶ 96.

1           **Q.     Could FDN self-provision DSL transport to end-users who are**  
2           **served by BellSouth DLC facilities?**

3           A.     No. FDN cannot replicate BellSouth's facilities in order to sell DSL.  
4           Even if FDN had at its disposal the billions of dollars that ILECs are  
5           spending on the deployment of DLC loop facilities, it would cost FDN  
6           billions on top of that amount to produce a functionally equivalent last mile  
7           distribution network to carry FDN's own telecommunications. BellSouth's  
8           DLC facilities utilize BellSouth's existing copper distribution network,  
9           existing rights-of-way, and existing remote terminal facilities. Furthermore,  
10          construction of a new distribution network would require several years at a  
11          minimum. Therefore, this is clearly not a realistic option for FDN. Further, I  
12          believe that competitive voice service to residential users would be  
13          accelerated, as competitors to Bellsouth would have access to both parts of  
14          the competitive "bundle" of voice and data.

15          **Q.     Can FDN obtain DSL transport to end-users served by BellSouth**  
16          **DLCs from a third-party provider?**

17          A.     No. I am not aware of any third-party provider that could and would  
18          provide the last mile distribution facilities necessary for high-speed data  
19          services to FDN or other CLECs on a ubiquitous basis throughout BellSouth  
20          territory, or even in a small fraction of that territory. Any third party would  
21          face the same obstacles that prevent FDN from constructing its own last mile  
22          distribution network. Given FDN's interest in obtaining such access, I

1 believe to a near certainty that I would be aware if a viable, ubiquitous third-  
2 party provider were available in Florida.

3 **Q. Would the availability of a broadband UNE promote the rapid**  
4 **introduction of competition for high-speed data services in Florida?**

5 A. Yes. I agree with the FCC's finding in the Project Pronto Order that  
6 the availability of a broadband offering would promote the rapid introduction  
7 of competition.<sup>20</sup> FDN would plan to obtain this service as soon as possible  
8 and would be able to offer DSL soon thereafter. The availability of a  
9 broadband UNE loop would have a far more immediate and profound effect  
10 on DSL competition in Florida than it had in SBC's region due to the higher  
11 percentage of BellSouth DLCs deployed in the state.

12 **Q. Would the broadband UNE loop that you have proposed include**  
13 **packet switching functionality?**

14 A. Yes.

15 **Q. Has the FCC established a test used to determine whether packet**  
16 **switching must be unbundled?**

17 A. Except for the "impair" standard I described above, the FCC has not  
18 issued a generally applicable test to determine whether packet switching  
19 should be unbundled. However, in the 1999 *UNE Remand Order*, the FCC  
20 created a four-part test setting forth one set of circumstances where packet  
21 switching clearly must be unbundled. ILECs have argued that a state  
22 commission may order unbundling of packet switching only when this test is  
23 satisfied; however, nothing in the Order suggests that packet switching may

---

<sup>20</sup> *Project Pronto Order* at ¶¶ 23, 30.

1 not be unbundled in other circumstances. Once a state commission finds that  
2 a CLEC would be impaired without access to unbundled packet switching, it  
3 can and should order such unbundling without literal application of the *UNE*  
4 *Remand* test.

5 **Q. Could you please state the packet switching unbundling standard**  
6 **from the *UNE Remand Order*?**

7 A. The test set forth in the *UNE Remand Order* requires ILECs to  
8 unbundle packet switching when (1) the ILEC has installed DLC systems; (2)  
9 there are no spare copper loops that are capable of supporting the xDSL  
10 services the CLEC seeks to offer; (3) requesting CLECs are not allowed or  
11 able to collocate DSLAMs at ILEC remote terminals on the same terms and  
12 conditions that apply to the ILEC's own DSLAM; and (4) the ILEC has  
13 deployed packet switching for its own use.<sup>21</sup>

14 **Q. Are these four conditions met for the purposes of this arbitration?**

15 A. Yes. BellSouth has indisputably installed DLC systems, and likely  
16 has the highest percentage of DLCs deployed of any large ILEC in the  
17 country. Second, in the vast majority of cases where BellSouth has deployed  
18 DLCs, there are no xDSL-capable copper loops available that FDN can use to  
19 provide high-speed data service. FDN and other CLECs have requested such  
20 loops through BellSouth's ordering system and received notice that no copper  
21 loop is available. My response to the third part of the test varies based on  
22 whether BellSouth has deployed NGDLC systems. Where NGDLCs are  
23 deployed, BellSouth's DSLAM functionality is performed through line cards

---

<sup>21</sup> *UNE Remand Order*, at ¶ 313; 47 C.F.R. 51.319(c)(3).

1 plugged into the channel bank of the NGDLC. BellSouth will not allow  
2 CLECs to collocate their own line cards at the NGDLC. Where traditional  
3 DLCs are deployed, although BellSouth nominally allows CLECs to  
4 collocate stand-alone DSLAMs at the remote terminal, such collocation is  
5 subject to untenable terms and conditions, for the reasons I explained above.  
6 These reasons include, but are not limited to, the fact that BellSouth refuses  
7 to allow CLECs to connect the DSLAMs to the lit fiber that is used to carry  
8 BellSouth's high-speed data service to the central office. Because dark fiber  
9 is often not available, a CLEC DSLAM would be stranded at the remote  
10 terminal. Therefore, whether BellSouth deploys DLCs or NGDLCs, CLECs  
11 are denied collocation of DSLAM functionality on the same terms and  
12 conditions applicable to BellSouth's DSLAM functionality. Finally, it should  
13 be beyond dispute that BellSouth has deployed packet switching functionality  
14 for its own DSL services. Therefore, the FCC's four-part test is satisfied, and  
15 BellSouth must be ordered to offer unbundled packet switching where it has  
16 deployed DLCs.

17 **Q. Should unbundled packet switching be made available generally**  
18 **or only where the Commission conducts a remote terminal by remote**  
19 **terminal unbundling analysis?**

20 A. Because these conditions are satisfied in the vast majority, if not all,  
21 of BellSouth's DLC deployments, a general unbundling requirement is  
22 warranted. Otherwise, BellSouth will be able to effectively prevent CLECs  
23 from obtaining service in a timely and affordable manner by delaying entry

1 over protracted and expensive litigation addressing each one of BellSouth's  
2 hundreds or thousands of DLC sites.

3 **Q. Have any state commissions found that ILECs are required to**  
4 **unbundle packet switching at DLCs generally using the FCC's four-part**  
5 **standard?**

6 A. Yes. The Illinois Commerce Commission found that the test had been  
7 satisfied in ordering Ameritech to unbundle broadband loops.<sup>22</sup> In addition,  
8 the New York Public Service Commission declined to make this  
9 determination *only* because Verizon was not yet currently deploying packet  
10 switching for its own use or for the use of an affiliate. The New York  
11 Commission held that, were Verizon to deploy packet switching for its own  
12 use or to its affiliate, it would have to offer it to all competitors.<sup>23</sup> The facts  
13 of the New York case were materially different than here because of the far  
14 more advanced stage of BellSouth's DSL deployment over DLCs and  
15 ongoing utilization of packet switching for DLC loops in Florida. Had the  
16 Florida facts been before the New York Commission, a general unbundling  
17 of packet switching clearly would have been warranted.

18 **Q. Is the Florida Commission required to apply a four-part test**  
19 **established in the FCC's *UNE Remand Order* for unbundling of packet**  
20 **switching if before it can designate broadband loops as UNEs?**

---

22 *Illinois Pronto Arbitration Order* at 31.

23 Proceeding on the Motion of the Commission to Examine Issues Concerning the Provision of Digital Subscriber Line Services, Case 00-C-0127, Opinion and Order Concerning Verizon's Wholesale Provision of DSL Capabilities Opinion No. 00-12 (N.Y. P.S.C. October 31, 2000).



1           A.     No. As I stated previously, the Florida Commission can and should  
2           order unbundling of packet switching if it finds that CLECs would be  
3           impaired without such access, pursuant to the terms of FCC Rule 51.317.  
4           The four-part test from the *UNE Remand Order* is only one of many routes  
5           that the Commission could take to find such impairment. Above all, the  
6           Commission should consider that the fundamental purpose of the FCC test is  
7           clearly to enable CLECs to offer high-speed data service where the ILEC has  
8           deployed Digital Loop Carriers. If FDN had such access, it would be  
9           providing high-speed data over these loops today. BellSouth's contrived  
10          arguments that the *UNE Remand Order* precludes the unbundling of packet  
11          switching fails when viewed in the context of the purpose of the FCC's order  
12          and the reality today that CLECs lack meaningful access to DLC loops.  
13          Therefore, the BellSouth should be required to unbundle packet-switched  
14          broadband loops in Florida.

15           **III.    BELLSOUTH IS REQUIRED BY SECTION 251(C)(4) OF THE**  
16           **FEDERAL ACT TO OFFER ITS HIGH-SPEED DATA SERVICE FOR**  
17           **RESALE**

18           **Q.     Should BellSouth be required to offer wholesale high-speed data**  
19           **service to FDN for resale pursuant to Section 251(c)(4) of the**  
20           **Telecommunications Act of 1996?**

21           A.     Yes. BellSouth and its affiliates are required to offer, on a discounted  
22           wholesale basis, all of their retail telecommunications services, including  
23           xDSL and other high-speed data services, pursuant to the resale obligations

1 applicable to incumbent local exchange carriers under Section 251(c)(4) of  
2 the Federal Act. While resale is not FDN's preferred means of access, and,  
3 under FCC Orders, is not a substitute for UNE access,<sup>24</sup> the Act does require  
4 BellSouth to offer it, and BellSouth should be required to provide FDN such  
5 access in this case.

6 **Q. Does BellSouth offer for resale its high-speed data services today**  
7 **under the terms of Section 251(c)(4)?**

8 A. No. BellSouth's only wholesale high-speed data service in Florida is  
9 its voluntary, market-rate offer to Internet Service Providers (ISPs).  
10 BellSouth offers this service only for telephone lines on which BellSouth is  
11 the local exchange carrier. Therefore, this service is not a long-term option  
12 for FDN, which seeks to combine high-speed data services on the same line  
13 as its facilities-based local exchange service. Furthermore, since BellSouth  
14 considers the service to be voluntary, there is no guarantee that it will  
15 continue to be made available at rates, terms and conditions that would allow  
16 a competitor to compete with BellSouth's retail service.

17 **Q. If a resold DSL product were available pursuant to Section**  
18 **251(c)(4), could BellSouth refuse to resell DSL to CLECs for use on lines**  
19 **where it is not the local exchange carrier?**

20 A. No. An ILEC cannot impose unreasonable or discriminatory  
21 limitations on resale services provided under Section 251(c)(4).

22 **Q. What retail products does BellSouth offer to provide high-speed**  
23 **data service?**

---

<sup>24</sup> See *UNE Remand Order* at ¶ 67.

1           A.     To the best of my knowledge, BellSouth's consumer high-speed data  
2           service is sold as BellSouth Fast Access Internet Service. FDN seeks to be  
3           able to resell the telecommunications portion of this service, which,  
4           depending on BellSouth's deployment, could be provided either over DSL,  
5           fiber-fed DLC, or all-fiber loops. I will refer to the telecommunications  
6           portion of this service as BellSouth's retail DSL service, but for the purposes  
7           of this testimony I intend to include with this term any technology BellSouth  
8           uses to provide consumer high-speed data services. BellSouth offers other  
9           higher-capacity high-speed data services, such as T-1 service, but these  
10          services are not a subject of this arbitration.

11          **Q.     On what basis has BellSouth refused to offer resold DSL service**  
12          **under Section 251(c)(4)?**

13          A.     BellSouth claims that its DSL services are exempt from the resale  
14          obligations of Section 251(c)(4) of the Telecommunications Act, which  
15          applies to retail telecommunications services. As I understand its position,  
16          BellSouth maintains that its local exchange carrier entity does not sell retail  
17          DSL, but instead sells DSL only to Internet Service Providers (ISPs). This  
18          position is based upon the FCC's 1999 decision that sales of DSL to ISPs are  
19          wholesale services that are exempt from resale obligations under Section  
20          251(c)(4).<sup>25</sup> However, the BellSouth group of companies, taken together, is  
21          the largest retail DSL provider in Florida. BellSouth does sell retail DSL  
22          through an ISP that it owns and controls. BellSouth's ISP obtains DSL from

---

<sup>25</sup> Deployment of Wireline Services Offering Advanced Telecommunications Capability, CC Docket 98-147, Second Report and Order, FCC 99-330 (rel. November 9, 1999) ("UNE Remand Order").

1 BellSouth's local exchange company. BellSouth promotes and sells its  
2 telephone and DSL services using the same advertisements, customer service  
3 and sales agents, and Internet sites, including www.BellSouth.com.  
4 Revenues from DSL sales and telecommunications services are reported  
5 together and accrue for the benefit of the same BellSouth shareholders. If  
6 BellSouth were permitted to avoid its Section 251 obligations by selling all of  
7 its telecommunications service on a wholesale basis to other affiliates, it  
8 would render the unbundling and resale obligations of the Federal Act  
9 meaningless. Therefore, retail sales of telecommunications services by any  
10 BellSouth affiliate should be attributed to the local exchange carrier operation  
11 for the purposes of Section 251.

12 **Q. Have any courts interpreted an ILEC's resale obligations where**  
13 **retail services are sold by an affiliate of the ILEC rather than by the**  
14 **ILEC itself?**

15 A. Yes. In *ASCENT v. FCC*,<sup>26</sup> decided in January 2001, the United  
16 States Court of Appeals for the District of Columbia held that retail sales of  
17 advanced telecommunications services by ILEC affiliates are subject to the  
18 resale obligations of the Act. The court found that an ILEC may not "sideslip  
19 § 251(c)'s requirements by simply offering telecommunications services  
20 through a wholly owned affiliate." Although the case involved a regulation  
21 pertaining only to SBC, the logic of the decision applies equally to BellSouth.  
22 Therefore, the FCC's ISP exemption cannot be read to exempt BellSouth

---

<sup>26</sup> *Association of Communications Enterprises v. FCC*, 235 F.3d 662, (D.C. Cir. January 9, 2001)("ASCENT").

1 from its obligation to resell the retail telecommunications service that is  
2 provided by any BellSouth affiliate.

3 **Q. Have any states taken steps to require an ILEC to make available**  
4 **for resale the retail DSL products of separate ISP affiliates?**

5 A. Yes. On May 7, 2001, the Connecticut Department of Utility Control  
6 (DPUC) issued a draft decision that would require the state's largest  
7 incumbent, Southern New England Telephone Company (SNET), to resell  
8 any telecommunications service, including DSL, that is sold by its ISP  
9 affiliate and any other affiliates. The draft decision rejected arguments by  
10 SNET that are virtually identical to those offered by BellSouth. As the DPUC  
11 noted, "[t]he ASCENT Decision clearly holds that 'an ILEC [may not be  
12 permitted] to avoid § 251(c) obligations as applied to advanced services by  
13 setting up a wholly owned affiliate to offer those services.' [SNET's]  
14 repeated claim that this holding has no application to the services it offers  
15 ignores that decision's plain language."<sup>27</sup>

16 **Q. Is FDN asking that BellSouth be required to resell both the**  
17 **telecommunications and enhanced services that are sold together by**  
18 **BellSouth's ISP?**

19 A. No. Section 251 applies only to telecommunications services, and  
20 that is all that FDN is seeking to resell. However, BellSouth cannot refuse to  
21 separate its telecommunications service from its enhanced services for the  
22 purpose of denying resale. FCC bundling rules require BellSouth to offer its

---

27 Petition of DSLnet Communications, LLC Regarding Section 251(c) Obligations of the Southern New England Telephone Company, Docket 01-01-17, Draft Decision at 9 (Conn. D.P.U.C. May 7, 2001) (internal citations omitted).

1 telecommunications services separately from any enhanced services, even if  
 2 it only sells them as a bundled product.<sup>28</sup>

3 **Q. If BellSouth only offers a bundled DSL and ISP product to the**  
 4 **public, how should the resale rate under Section 251(c)(4) be calculated?**

5 A. BellSouth's current bundled ADSL/Internet Service rate, according to  
 6 its Internet web site, is \$49.95, which includes DSL transport and unlimited  
 7 access Internet service. When unlimited Internet service is ordered separately  
 8 from BellSouth, the cost is \$20.95. Therefore, in the absence of any  
 9 Commission-approved cost study allocating costs between the DSL and  
 10 Internet service, the DSL transport service should be attributed to have a  
 11 retail rate of ~~\$29.95~~<sup>\$29.00</sup>. The existing resale discount rates established by the  
 12 Florida Commission would be applied to the ~~\$29.95~~<sup>\$29.00</sup> rate. BellSouth would  
 13 be free to avail itself of any procedures available under this Commission's  
 14 rules and prior decisions to seek modifications to the discount rates or to seek  
 15 the establishment of a specific rate applicable to DSL.

16 **IV. FDN'S REQUEST IS NOT INCONSISTENT WITH PRIOR**  
 17 **COMMISSION DECISIONS**

18 **Q. Prior arbitration decisions in Florida have rejected arguments**  
 19 **that BellSouth should be required to provide splitters to CLECs. Is**  
 20 **FDN's request inconsistent with those decisions?**

---

28 Policy and Rules Concerning the Interstate, Interexchange Marketplace, CC Docket 96-61; 1998 Biennial Regulatory Review – Review of Customer Premises Equipment and Enhanced Services Unbundling Rules in the Interexchange, Exchange Access and Local Exchange Markets, CC Docket 98-183, Report and Order, FCC 01-98 (rel. March 30, 2001), at ¶ 39.

1           A.     No. FDN recognizes that the Commission has previously decided not  
2           to require BellSouth to offer unbundled splitters to CLECs in the central  
3           office. The fact that FDN's proposed broadband UNE loop includes splitter  
4           functionality at the remote terminal is not inconsistent with these prior  
5           findings. In the central office environment, there is no dispute that CLECs  
6           are able to collocate equipment, and in these prior cases, CLECs sought  
7           unbundled splitters for reasons other than complete infeasibility. At remote  
8           terminals, as I have explained previously, CLECs cannot realistically  
9           collocate DSLAMs. For the same reasons, CLECs cannot collocate splitters  
10          at RTs. In addition, unlike the central office that may have multiple  
11          DSLAMs, it would be nonsensical to have multiple splitters all lined up to  
12          connect to a single (BellSouth) DSLAM.

13                 Furthermore, in NGDLC systems, the splitter is an inseparable part of  
14          the same line card equipment that performs DSLAM functionality. Unlike  
15          most current central office deployments, where the splitter is a separate item  
16          of equipment, inclusion of splitter functionality requires no additional burden  
17          on BellSouth. I am not aware of any technically feasible means of  
18          performing splitter functionality in NGDLC loops other than by the line card.  
19          The fact that the splitter functionality is included does not alter the  
20          Commission's overall impairment analysis for broadband loops.

21          **Q.     Why do you believe that the *Line Sharing Reconsideration Order***  
22          **did not endorse the ILECs' refusal to sell DSL service?**

1           A.     The FCC did not find that ILECs may lawfully refuse to provide DSL  
2           service on lines on which it is not the retail voice carrier. On the contrary,  
3           the FCC determined only that AT&T's request was beyond the scope of a  
4           reconsideration order, which, for procedural reasons, was limited to  
5           consideration of the ILECs' obligation to provide access to line sharing to  
6           data CLECs who would provide DSL service. The FCC specifically noted  
7           that it did *not* rule on the merits of AT&T's argument, instead noting that any  
8           party aggrieved by an ILECs refusal to provide service could file a petition  
9           alleging that the ILECs practice constitutes an unreasonable practice in  
10          violation of the common carrier obligations to provide service to the public  
11          on a nondiscriminatory basis, pursuant to Section 201 of the Communications  
12          Act of 1934.

13          **Q.     Has FDN considered pursuing a complaint at the FCC based on**  
14          **Section 201 to require ILECs to sell DSL service to requesting consumers**  
15          **who subscribe to CLEC voice services?**

16          A.     Not at this time. As I stated before, FDN is not seeking a requirement  
17          that BellSouth provide retail xDSL service to FDN's local exchange  
18          customers. Instead, FDN is seeking access only to the resale and UNE  
19          products that it is entitled to under Section 251(c) of the Telecommunications  
20          Act of 1996 so that it may provide its own retail DSL service. However, if  
21          FDN later decided to pursue a different strategy, I would consider filing a  
22          Section 201 complaint at the FCC. BellSouth can offer no reasonable  
23          justification for its policy, which clearly appears designed to leverage its



1 market power in the high-speed data market as an anticompetitive tool to  
2 injure its competitors in the voice services market. Because competitive  
3 providers of DSL have been unable to offer DSL service where DLCs are  
4 present, there have always been fewer competitive options in BellSouth  
5 territory in Florida to the extremely high percentage of such loops. Now,  
6 with numerous competitive DSL providers folding or downsizing even in  
7 markets where copper loops were more readily available, if FDN does not  
8 obtain the relief requested in this case, there is a very real possibility that  
9 BellSouth will in the foreseeable future be the only remaining DSL provider  
10 in its incumbent region in Florida. Therefore, BellSouth's ability to exert  
11 unreasonable and unlawful anticompetitive pressures on the voice services  
12 market will continue to increase. For these reasons, BellSouth's refusal to  
13 offer xDSL service to Florida consumers who purchase facilities-based voice  
14 service from CLECs is unreasonable and unlawful.

15 ISSUE 2 -- SETTLED

16 ISSUES 3A & 3B.

17 **Q. Issues Nos. 3A and 3B concern trouble ticket closure and charges.**

18 **Please describe FDN's position on Issues Nos. 3A and 3B.**

19 A. FDN experiences a significant number of trouble conditions for loss of  
20 dial tone or other service problems that FDN believes are attributable to  
21 BellSouth's service or facilities. Accordingly, FDN has a keen interest in  
22 BellSouth's disposition of trouble tickets and how FDN might be charged  
23 for trouble tickets. FDN does not dispute BellSouth's request to charge

1 FDN for trouble tickets where BellSouth is not responsible for the  
2 trouble. However, FDN has experienced problems with BellSouth's  
3 closing trouble tickets without notifying FDN and closing tickets as "No  
4 Trouble Found" (or "NTF") when problems persist, forcing FDN to  
5 attempt to reopen the ticket or open a new ticket. Also, in FDN's  
6 experience, a significant number of BellSouth trouble tickets are closed as  
7 NTF when FDN believes there was a legitimate trouble with the line.

8 When calling in a trouble ticket to BellSouth, FDN will conduct its  
9 own trouble isolation evaluation or line diagnostics test. Typically, an  
10 FDN representative will conduct a tip-to-ring capacitance test on the line  
11 the customer reported a problem with. If FDN believes the source of the  
12 trouble is with FDN's network, then the matter is referred to FDN's  
13 Operations & Engineering Group. If FDN believes BellSouth may be the  
14 source of the problem, FDN will call in a trouble ticket to BellSouth.

15 With respect to Issue No. 3A, FDN's position is simply that BellSouth  
16 should notify FDN prior to closing a ticket and should refrain from  
17 closing a ticket if FDN cannot confirm that the trouble has been resolved.  
18 In the past FDN's representatives were told by BellSouth that BellSouth  
19 would not notify FDN for closing trouble tickets on SL-1 loops. It is my  
20 understanding that this practice recently changed and FDN  
21 representatives are now getting calls from BellSouth field technicians  
22 upon closing trouble tickets for SL-1 loops. Therefore, BellSouth should  
23 not object to confirming the new practice in the interconnection

1 agreement such that FDN will be notified of the disposition of all trouble  
2 tickets.

3 A related problem is the situation where FDN places a trouble ticket  
4 with BellSouth and BellSouth closes the ticket though the end user  
5 continues to experience the problem condition after the BellSouth  
6 technician worked the ticket.

7 Thus far, BellSouth's answer to this sort of problem has been a  
8 proposal for joint acceptance testing that must be completed within 15  
9 minutes for FDN to avoid additional charge. FDN opposes paying  
10 BellSouth an additional "time" charge when FDN's own remedies for  
11 appointments that BellSouth delays or misses are problematic or  
12 nonexistent. Nonetheless, FDN can accept BellSouth's joint acceptance  
13 testing proposal if BellSouth agrees to terms to the effect that: (1)  
14 BellSouth will contact FDN at the time a trouble is worked/disposed on  
15 all loops, (2) FDN may conduct its portion of joint acceptance testing  
16 remotely and will not be required to field dispatch within 15 minutes, (3)  
17 FDN will not be charged for acceptance testing if the trouble is not  
18 resolved at the time of the test, and (4) FDN's acceptance testing permits  
19 closure of the ticket if the problem is cleared but does not constitute  
20 acceptance of BellSouth's stated disposition of the ticket.

21 With respect to Issue No. 3B, FDN's maintains that BellSouth should  
22 not charge FDN for NTF trouble tickets if FDN can show there was a  
23 trouble on BellSouth's end.

1           As indicated above, FDN regularly experiences a significant number  
2 of no dial tone conditions which FDN believes are attributable to  
3 BellSouth. Attached hereto as Exhibit \_\_\_\_ (MPG-2) is a list of no-dial-  
4 tone tickets since January 2001 in cases where FDN believes the problem  
5 was attributable to BellSouth. FDN has pursued arbitrating issues relative  
6 to trouble tickets in this case because FDN has been very concerned with  
7 the number of these tickets, their causes and disposition. Attached hereto  
8 as Exhibit \_\_\_\_ (MPG-3) are notes taken from FDN's ordering and  
9 tracking system reflecting a few examples of trouble ticket information  
10 and FDN line diagnostic results. FDN believes the line diagnostics taken  
11 before and after these tickets reflect BellSouth's having pulled F2 pair in  
12 the field or F1 pair in the office, leaving FDN customers without dial  
13 tone. In looking at the trouble tickets and based on experience, these  
14 pulled jumper situations are not isolated cases. FDN has been anxious for  
15 BellSouth to eliminate the root causes of no-dial-tone conditions that are  
16 caused by BellSouth. Since BellSouth has seemed unwilling to help FDN  
17 and was unwilling to address prevention in this case, such as through  
18 tagging FDN lines to prevent them from being pulled, FDN asserts that it  
19 must have better rights on issues of ticket disposition.

20           A number of the tickets listed on Exhibit \_\_\_\_ (MPG- 2) were disposed  
21 as NTF. However, FDN believes BellSouth has closed tickets as NTF  
22 even though the tickets should not have been closed as NTF. Attached  
23 hereto as Exhibit \_\_\_\_ (MPG-4) are notes taken from FDN's ordering and

1 tracking system reflecting a few examples of trouble tickets BellSouth  
2 closed as NTF but which FDN believes should not have been NTF. FDN  
3 believes that the tip-to-ring capacitance results taken before and after the  
4 disposition of these tickets show that a repair/change was made to the  
5 line, yet the tickets were closed as NTF. In some cases, it appears that a  
6 circuit was open in the BellSouth office or that a loop was changed from  
7 straight copper to a DLC design, but an NTF was reported.

8 FDN seeks assurance of proper billing for trouble tickets. FDN's  
9 position is that it should not be charged for tickets closed as NTF where  
10 results show the trouble was resolved when BellSouth worked the ticket.

11 ISSUES 4A & 4B.

12 **Q. Issues Nos. 4A and 4B concern move orders. Please describe FDN's**  
13 **position on Issues Nos. 4A and 4B.**

14 A. When an FDN customer changes locations from one address to another,  
15 BellSouth must execute a "move order" for FDN. This involves  
16 BellSouth's disconnecting service to the customer's first location,  
17 BellSouth's provisioning a new UNE loop in the second location and  
18 transferring the same customer telephone number to the new loop. In  
19 most cases, BellSouth does not establish the new UNE loop in the second  
20 location in an acceptable time frame, that is, at parity with the interval in  
21 which BellSouth provisions moves for its own retail customers. If the  
22 customer has already moved and BellSouth has missed the required due  
23 date, the customer can be left without phone service.

1           BellSouth can generally move its retail customers' service from one  
2           location to another in three business days. BellSouth takes well in excess  
3           of a three-business-day interval to provision move orders for FDN  
4           customers. To avoid its customers being without service, FDN has  
5           ordered and paid for retail service from the BellSouth business office and  
6           then call forwards traffic from the UNE loop in the old location to the  
7           Bell-provided retail line. FDN maintains that if BellSouth cannot meet  
8           the required due date for an FDN move order, FDN should receive retail  
9           BellSouth service to the new customer location at no cost until the move  
10          order is executed. Attached hereto as Exhibit \_\_\_\_ (MPG-5) is a  
11          schedule of 20 or so examples of FDN move orders submitted to  
12          BellSouth. The information on the left of the schedule shows the dates  
13          on which FDN ordered and BellSouth installed retail lines to the new  
14          location for FDN's moving customers. According to the schedule, there  
15          is just a three-business-day interval for turning up the retail service more  
16          than 90% of the time. The information on the right of the schedule  
17          shows when FDN submitted a move order (via a LSR) and the date that  
18          the move order was executed. According to the schedule, sometimes it  
19          takes more than a month to execute the move order, and, in most cases,  
20          there is at least a two-week interval.

21                 FDN does not believe that the Commission should refuse to rule on its  
22                 request just because BellSouth thinks the issue should be addressed in  
23                 the permanent performance measures docket. The parties should be

1 entitled to present for arbitration any open issue, and the Commission  
2 should resolve any open issue. This issue on move orders is in dispute  
3 and should be arbitrated.

4 The interconnection agreement negotiated up to this point includes a  
5 number of cost allocation or recovery mechanisms for fault or cost-  
6 causing behavior. For example, for line troubles caused by BellSouth,  
7 FDN does not have to pay for the trouble ticket and may be entitled to a  
8 credit. If BellSouth's TAG gateway is inoperable other than for  
9 scheduled maintenance, FDN does not have to pay the manual order  
10 charge. In some circumstances, BellSouth has the right to charge FDN  
11 for removal of collocated equipment or investigation of improper  
12 conduct in collocation space. The negotiated agreement addresses at  
13 length liability limitations and indemnification. Cost allocation or  
14 recovery mechanisms for fault and cost-causing activity exists in the  
15 negotiated agreement and should be balanced in favor of both parties. In  
16 the case of this move order issue, FDN asserts that BellSouth's failure to  
17 properly perform causes FDN to incur a finite cost that FDN should not  
18 have to incur to serve its customers.

19 BellSouth's position in the Commission's permanent performance  
20 measure docket has been that the PSC has no authority to impose a self-  
21 executing remedy plan on BellSouth, especially where BellSouth has not  
22 been granted 271 relief. Further, the Performance Measurement  
23 Attachment to the draft interconnection agreement only becomes

1 effective if and when BellSouth receives section 271 relief. After  
2 appeals, a final decision in the permanent performance measure case and  
3 in BellSouth's 271 case could take more than another year. Under the  
4 interconnection agreement negotiated thus far, if BellSouth does not get  
5 271 relief, BellSouth's liability for not meeting the required due date for  
6 move orders (or failure to meet service obligations generally) would be  
7 no greater than "an amount equal to the proportionate charge for the  
8 service provided pursuant to [the interconnection agreement] for the  
9 period during which the service was affected." In other words, it appears  
10 FDN may be entitled to a few dollars off a UNE rate it would otherwise  
11 pay even though this does not bear a direct relationship to the cost FDN  
12 will incur to continue providing its moving customers with service – an  
13 available and finite cost.

14 Whether BellSouth is granted 271 relief or not, and regardless of  
15 possible compensation of some kind pursuant to a Commission  
16 performance measure plan, FDN's requested approach for BellSouth's  
17 failure to meet reasonable dates for move orders is preferred because it is  
18 fair, reasonable and bears a direct a relationship to the finite cost incurred  
19 as a result of BellSouth's conduct. FDN would still bear the full cost of  
20 the UNE loop for one customer location before, during and after the  
21 move. Needless to say, if BellSouth can execute move orders for FDN  
22 as required, at parity with what BellSouth provides its own retail  
23 customers, then BellSouth has nothing to worry about.



1 ISSUE 5 – WITHDRAWN BY FDN.

2 ISSUE 6 – WITHDRAWN BY FDN.

3 ISSUE 7 – WITHDRAWN BY FDN.

4 ISSUES 8A & 8B.

5 **Q. Issues Nos. 8A and 8B concern FDN’s request for an FDN-funded**  
6 **and dedicated frame attendant. Please describe FDN’s position on**  
7 **these issues.**

8 A. As I indicated earlier when addressing Issues 4A and 4B, FDN believes  
9 that it should be allowed to arbitrate any open issue. I would make the  
10 same points here against BellSouth’s permanent performance measure  
11 argument as I made earlier relative to Issues 4A and 4B.

12 In FDN’s view, this issue is about insuring fair, reasonable and  
13 nondiscriminatory service. In FDN’s experience, BellSouth takes an  
14 average of at least seven days to provision a voice loop. FDN orders over  
15 700 lines from BellSouth a week. Prior to January this year, BellSouth  
16 would not begin working FDN orders until after 10:00 a.m. each day.  
17 This often made it difficult for BellSouth and FDN to complete all orders  
18 as scheduled. When a “bad cut” occurs, due to defective cable pair in the  
19 field or the CO or other issues, problem solving is absolutely critical  
20 because FDN is cutting over a “live” business customer who cannot be  
21 left without dial tone. FDN regularly experiences problems with  
22 BellSouth’s inability to resolve troubles on bad cuts as quickly as the  
23 circumstances require. Included with my testimony as Exhibit \_\_ (MPG-

1           6) is a schedule of some recent bad cuts. The schedule shows the cut  
2           date, resolution date, and comment information for the bad cuts. This  
3           schedule shows BellSouth does not address bad cut repairs immediately.  
4           Customers are left without dial tone as a result, and, more often than not,  
5           these customers blame FDN for their plight. Although a few bad cuts can  
6           be expected, when bad cuts do occur, it is imperative that they be  
7           addressed immediately.

8           During the week of January 15, 2001, KPMG was observing  
9           BellSouth's cutovers of FDN orders as part of KPMG's OSS evaluation.  
10          During that week, BellSouth began processing FDN orders early in the  
11          morning, were finished with all scheduled orders early in the day, and bad  
12          cuts were nonexistent. The overall service provided FDN the week of  
13          KPMG's observation was a departure from FDN's prior experience and  
14          showed that BellSouth is capable of providing good service when it  
15          chooses.

16          FDN is entitled to service at parity with what BellSouth provides  
17          itself. To insure that FDN receives such service and to improve  
18          scheduling and bad cut resolution, FDN should have the option of a  
19          dedicated frame attendant to execute only FDN orders/services.

20          To insure that it receives adequate service without penalty to  
21          BellSouth, FDN proposes to pay the salary, benefits, and costs for a  
22          BellSouth employee charged with working only FDN orders or, at least,  
23          FDN orders on a priority basis. The individual will be a BellSouth

1 employee; only the focus of his/her duties and responsibilities will be  
2 with FDN matters. If FDN is allowed a frame-attendant, the labor  
3 component of service charges assessed FDN would have to be removed to  
4 avoid double charging for labor. In theory, the overall cost to FDN  
5 should not be higher when FDN pays a composite labor charge for a  
6 dedicated attendant versus when FDN pays on a cumulative basis the  
7 labor component (for the same labor) incorporated into the service  
8 charges. And there is no extra cost or penalty to BellSouth.

9 ISSUE NO. 9 -- SETTLED

10 ISSUE 10.

11 **Q. Issue No. 10 concerns a third ordering option. Please describe**  
12 **FDN's position on Issue No. 10.**

13 A. When FDN first started operating in Florida, it submitted SL-1  
14 orders for voice grade UNE loops. BellSouth would issue a firm  
15 order confirmation (FOC) with a due date. FDN would then  
16 schedule the due date with the customer, but more than 50% of the  
17 time, BellSouth could not install service by the provided FOC due  
18 date because the loop was served through a DLC rather than by  
19 continuous copper from the central office. BellSouth would then  
20 require FDN to clarify the order, canceling the original due date of  
21 the FOC. So FDN would then submit an SL-2 order, await a new  
22 FOC and reschedule for a later date with the inconvenienced  
23 customer, significantly delaying the ordering and provisioning

1 process. Because FDN had no reasonable means to access  
2 BellSouth's network information to make advanced determination  
3 of the presence of DLCs, FDN turned to submitting orders for the  
4 more expensive SL-2 service (\$80 v. \$140 non-recurring charges)  
5 in order to avoid delays and associated scheduling problems.

6 FDN has sought a third ordering option whereby FDN would  
7 simply submit an order for a UNE voice-grade loop and BellSouth  
8 would make the determination of whether the order should be  
9 processed as an SL-1 or SL-2 before issuing an FOC, and charge  
10 FDN for the SL-1 or SL-2 as appropriate.

11 BellSouth's response to FDN's request has been that  
12 BellSouth now offers loop make up (or "LMU") information FDN  
13 can access prior to issuing LSRs to BellSouth. FDN has learned  
14 more about LMU over the course of continued negotiations during  
15 this case. FDN is willing to explore LMU database access as a  
16 compromise for resolving FDN's ordering issue. However,  
17 access, whether mechanized or manual, comes at an additional  
18 charge, and FDN must incur start-up and recurring costs for the  
19 systems to make LMU queries.

20 Thus, absent the third order option which FDN favors, FDN  
21 has three choices. First, order all SL-1s and accept the associated  
22 lack of reliable scheduling and provisioning. Second, continue  
23 ordering all higher cost SL-2s to insure better scheduling and

1 provisioning reliability. Or, third, incur additional cost to access  
2 the LMU information and order SL-1s or SL-2s as the LMU  
3 information dictates. However, these choices sidestep the core  
4 question: Why should FDN bear additional risk or burden  
5 associated with simple ordering in the first place?

6 FDN does not instruct BellSouth how to execute the order or  
7 engineer voice service any more so that a retail customer would  
8 when ordering voice service. I do not believe BellSouth tells  
9 retail customers that BellSouth will have to set a later due date for  
10 service and the customer will have to submit a new service request  
11 solely due to BellSouth's own network design.

12 There is no reason why BellSouth should not bear the burden  
13 of examining its own network configuration and design to process  
14 a CLEC order for voice service. FDN should be able to simply  
15 order a voice-grade UNE loop (with order coordination and time-  
16 specific cutover options) and have BellSouth figure out how to get  
17 the job done on its own network by an FOC's due date.

18 FDN is not asking that it be relieved of paying charges for SL-2 loops  
19 where those charges should apply. This is an ordering issue, not a  
20 provisioning issue. FDN is even willing to agree that BellSouth be  
21 allowed some additional time to issue an FOC under its proposed third  
22 order option if BellSouth can reliably meet the due dates. FDN's position  
23 is simply that FDN should not have to guess at BellSouth's network

1 configuration for voice orders to be completed or pay for network  
2 information. BellSouth, not FDN, should have the burden of knowing its  
3 own network.

4 **Q. Does that conclude your direct testimony?**

5 A. Yes.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

1 **Q. Please state your name and address.**

2 A. My name is Michael P. Gallagher. My business address is 390 North  
3 Orange Avenue, Suite 390, Orlando, Florida, 32801.

4 **Q. What is the purpose of your rebuttal testimony?**

5 A. I will respond to some of the arguments of BellSouth witnesses Williams  
6 and Kephart concerning issues still in contention in this case.

7 **Q. Did you also provide direct testimony in this case?**

8 A. Yes.

9 ISSUE NO. 1

10 **Q. Mr. Williams of BellSouth testified that FDN's position on Issue**  
11 **#1 is that "FDN wants the Commission to order BellSouth to provide**  
12 **BellSouth's ADSL service to FDN's end user over the same UNE loop**  
13 **that FDN is using to provider voice service to that end user." Is Mr.**  
14 **Williams' description an accurate characterization of FDN's position?**

15 A. No. BellSouth has apparently misread or unduly limited the scope of  
16 FDN's request. As I explained in my direct testimony, FDN seeks the  
17 provision of wholesale UNE and resale products with which FDN can  
18 provide retail xDSL service.

19 **Q. Given Mr. Williams' restrictive view of FDN's request, do the**  
20 **legal arguments in his testimony overcome those in support of FDN's**  
21 **request?**

22 A. No. The FCC and South Carolina decisions relied upon by Mr.  
23 Williams do not relate to FDN's request for wholesale UNE and resale

1 products, as those cases address only an ILEC's providing retail xDSL  
2 service on lines where it is not the voice carrier. Moreover, as I explained in  
3 my direct testimony, the FCC's decision in the *Line Sharing Reconsideration*  
4 *Order* does not have any bearing on BellSouth's obligation to provide access  
5 to UNEs and resale products under Section 251. (Gallagher Direct at 10-11,  
6 38-40.) The FCC's *Line Sharing Reconsideration Order* did not address the  
7 merits of the underlying issue; rather, it stated that reviewing the issue of  
8 ILEC-provided retail xDSL service over ALEC UNE voice loops was outside  
9 the permissible scope of reconsideration because it was not an issue in the  
10 final order being reconsidered.

11 Several of the "business reasons" offered by Mr. Williams as  
12 justification for BellSouth's refusal to provide xDSL service on ALEC-  
13 served voice lines are likewise irrelevant to FDN's request for wholesale  
14 UNE and resell products, as they are based upon scenarios in which  
15 BellSouth would provide retail services on an FDN UNE loop.

16 **Q. In addition to the "business reasons" that Mr. Williams cites as**  
17 **justification for BellSouth's refusal to provide the wholesale service that**  
18 **FDN is entitled to under the Act, Mr. Williams further states that "the**  
19 **systems BellSouth uses to provide its ADSL service do not currently**  
20 **accommodate providing ADSL service over such a loop." Is this**  
21 **adequate grounds for denying FDN's request?**

22 A. No. When the Telecommunications Act of 1996 was adopted, the  
23 ILECs did not have in place many of the systems that would ultimately be



1 necessary to support the UNEs, interconnection, collocation and resale  
2 requirements of the new Act. These systems were developed in response to  
3 the obligations imposed by the Act, and as directed by state and federal  
4 regulatory proceedings such as this one. The requirements of applicable law,  
5 regulations, and arbitrated interconnection agreements should drive the  
6 development of these support systems, not the other way around.

7 **Q. One “business reason” cited by Mr. Williams a justification for**  
8 **BellSouth’s policy is his statement that BellSouth’s databases do not**  
9 **include loop qualification information for FDN’s UNE loops, such that**  
10 **BellSouth cannot determine whether such loops are qualified for DSL.**  
11 **Do you agree with his assessment?**

12 A. No. FDN uses unbundled loops that are owned, controlled, and  
13 provided by BellSouth. BellSouth is in the best position to determine  
14 whether these loops are DSL-qualified, and if they are not, whether other  
15 DSL-qualified loops would be available. FDN does not at this time have the  
16 ability to obtain all of the necessary information to determine whether these  
17 loops are DSL-qualified. Other Regional Bell Operating Companies are  
18 modifying their databases to enable DSL qualification to be performed based  
19 upon circuit identification numbers in addition to telephone numbers.  
20 BellSouth should make such changes as are necessary to enable it to provide  
21 the UNEs and resale products as required by Section 251 of the Act.

1           **Q. Did BellSouth offer any testimony that undermines FDN's**  
2           **request that BellSouth be required to make available for resale a**  
3           **wholesale high-speed data service pursuant to Section 251(c)(4)?**

4           A. No. In fact, the testimony of Mr. Williams demonstrates conclusively  
5           that BellSouth must offer resold high-speed data service pursuant to Section  
6           251(c)(4). On page 5, lines, 22-24 of his testimony, Mr. Williams  
7           acknowledges that BellSouth offers "retail xDSL service."

8           **Q. Have any legal developments since your direct testimony**  
9           **materially affected your position that BellSouth's high-speed data**  
10          **service is subject to the resale obligations of Section 251(c)(4) of the Act?**

11          A. No. On June 26, 2001, the United States Court of Appeals for the  
12          District of Columbia denied a petition for review of the FCC's Advanced  
13          Services Second Report and Order that defined ILEC sales of high-speed data  
14          service to Internet Service Providers as a wholesale offering that is not  
15          subject to Section 251(c)(4).<sup>1</sup> However, this decision never comes into play  
16          in the scenario I described in my direct testimony, where BellSouth sells its  
17          own retail DSL through a BellSouth-owned ISP affiliate, because BellSouth's  
18          ISP affiliate is treated as part of BellSouth's ILEC operation for the purposes  
19          of Section 251, and not as a separate affiliate.<sup>2</sup> The recent court decision in  
20          no way addressed instances in which an ILEC provides retail high-speed data

---

1 *Assn. of Comm. Enterprises v. FCC*, Docket No. 00-1144 slip op. (D.C. Cir. June 26, 2001) (*ASCENT II*), denying petition for review of Deployment of Wireline Services Offering Advanced Telecommunications Capability, CC Docket No. 98-147, Second Report and Order (November 9, 1999). Despite identical names, this decision is not related to *Assn. of Comm. Enterprises v. FCC*, 235 F.3d 662 (D.C. Cir. January 9, 2001).

2 See Gallagher Direct Testimony at 32-37, citing *Assn. of Comm. Enterprises v. FCC*, 235 F.3d 662 (D.C. Cir. January 9, 2001) ("*ASCENT*").

1 service through its own ISP affiliate and has no bearing on FDN's request in  
2 this arbitration.

3 **Q. Have any State commissions found that the "ISP exemption"**  
4 **created by the FCC's Second Report and Order is not relevant to an**  
5 **ILEC's obligation to resell the high-speed data it provides through its**  
6 **own ISP?**

7 A. Yes. On June 27, 2001, the Indiana Utility Regulatory Commission  
8 (IURC) ruled that Ameritech must offer for resale a wholesale discount on  
9 the DSL service it provides through its own ISP affiliate. The IURC found  
10 that if the FCC's ISP exemption in the Second Report "were the only  
11 authority guiding the Commission's decision, Ameritech's position might  
12 prevail." However, the IURC held that the DC Circuit's January 9, 2001,  
13 *ASCENT* decision required that sales of DSL by an ILEC ISP were not  
14 eligible for the exemption under the Second Report, as the retail services of  
15 all ILEC affiliates were to be considered collectively as products of the ILEC.  
16 The Commission held that "the Second Report . . . do[es] not change that  
17 fact," and that "notwithstanding the definition of "at retail" found in the  
18 Second Report," Ameritech could not avoid its DSL resale obligations "by  
19 setting up a wholly owned affiliate to offer those services." Ameritech was  
20 therefore required to make available a resale high-speed data service offering  
21 in the manner requested by FDN in this proceeding.

22 If the Second Report had no bearing on the decision to require  
23 Ameritech to resell its high-speed data service in Indiana, the D.C. Circuit's

1 affirmation of the Second Report likewise has no bearing on BellSouth's  
2 obligation to resell its high-speed data services in Florida.

3 ISSUES 3A & 3B

4 **Q. In Mr. Kephart's direct testimony on page 7, beginning at line 7, he**  
5 **states "FDN is asking the Commission to assume that any trouble that**  
6 **clears while a trouble ticket is open was the result of a problem in**  
7 **BellSouth's network . . . ." Is that what FDN is asking in this case?**

8 A. No. FDN is not asking the Commission to make any assumptions  
9 about the underlying cause of a given trouble ticket.

10 The principles FDN seeks to be incorporated into the interconnection  
11 agreement are spelled out in my direct testimony. In Mr. Kephart's direct  
12 testimony, he agrees FDN will be notified before closing all trouble tickets,  
13 he agrees to terms for cooperative testing, and he agrees FDN will not be  
14 charged for continued cooperative testing and dispatch where a trouble is on  
15 BellSouth's network. Thus, there appears to be agreement in principle as to  
16 the intent behind Issue No. 3A. FDN's position on Issue No. 3B is not that  
17 FDN should benefit from an assumption that all cleared/corrected no-trouble-  
18 found tickets are BellSouth's fault. Rather, FDN simply asks that the  
19 interconnection agreement establish the basis for FDN's not being charged  
20 where FDN can prove through remote diagnostic test results or otherwise that  
21 trouble tickets closed as no-trouble-found should not have been. Beginning  
22 at page 7, line 14 of his testimony, Mr. Kephart accepts the concept that FDN  
23 should not be charged "where FDN can show that the trouble reported

1 stemmed from BellSouth's network." FDN maintains that it can make that  
2 showing through its remote line diagnostic test results. Further, FDN can  
3 make that showing where FDN proves there was dial tone at FDN facilities at  
4 the CO but not at the customer's demarcation point. The interconnection  
5 agreement should accept these testing methods as proof and as sufficient  
6 basis for FDN not to be charged unless BellSouth can otherwise prove that  
7 FDN or the end-user caused the trouble. Attached as Exhibit \_\_\_ MPG-7 is a  
8 copy of language reflecting FDN's proposal recently submitted to BellSouth.

9 ISSUE 10

10 **Q. On page 15, starting at line 4, Mr. Kephart states that "FDN is in**  
11 **essence asking BellSouth to determine which loop type is needed rather**  
12 **than FDN making that determination for itself." Should FDN have the**  
13 **burden of determining whether BellSouth must design a circuit or not**  
14 **prior to ordering a voice-grade loop?**

15 A. No. FDN should be able to simply order a voice-grade loop. It is unfair  
16 for BellSouth, with over 60% of its access lines served through remote DLCs  
17 and therefore likely in need of design work, to require FDN to follow what  
18 amounts to a pre-qualification process (similar to complex DSL ordering) for  
19 every UNE voice-grade loop just to avoid delay in service delivery and  
20 additional charges.

21 FDN does not seek to dictate to BellSouth how BellSouth should  
22 provision a voice loop. FDN seeks the ability to simply order all voice-grade  
23 loops the same way, on reasonable terms, without delays that jeopardize

1 parity, and with coordination options. FDN should not have to go through a  
2 pre-qualification process to achieve its desired results. BellSouth designed  
3 and built its network and stores its network information. BellSouth fashioned  
4 its SL-1 and SL-2 voice-grade loop types in apparent recognition of its DLC-  
5 dominated network architecture.

6 BellSouth witness Kephart suggests FDN make a manual or  
7 mechanized loop make-up (“LMU”) query of BellSouth prior to ordering a  
8 voice loop so FDN could know which type of voice loop to order. In other  
9 words, BellSouth would require FDN to prequalify voice loops. BellSouth’s  
10 LFACS database and LMU process are clearly geared toward xDSL ordering,  
11 not voice loop ordering. A UNE voice-grade loop is unlike an xDSL-capable  
12 loop where prequalification may be necessary because the ordering CLEC or  
13 DLEC may desire to review loop architecture or order specific facilities or  
14 services for the loop to make it functional with the CLEC/DLEC technology  
15 and equipment. There are no such peculiarities for a voice-grade loop that  
16 should necessitate ordering prequalification of the sort BellSouth promotes.  
17 No other ILEC with which FDN does business differentiates voice loop types  
18 as BellSouth does or insists on a prequalification look-up as a means for the  
19 CLEC to know what type of voice loop it should order. FDN simply orders a  
20 voice-grade loop from those ILECs. Voice service is not advanced service  
21 and should not be treated as such when it comes to ordering and  
22 prequalification.

1           FDN's arbitration petition was filed in January 2001. It is not clear  
2           from Mr. Kephart's testimony when BellSouth made its LMU data available  
3           electronically to all CLECs. In any case, Mr. Kephart acknowledges the  
4           LFACS database may not have IDLC information available for all loops and  
5           that a manual query may be necessary. BellSouth's standard interval and  
6           costs for manual queries are wholly impractical for voice service ordering.  
7           BellSouth previously informed FDN that the standard turnaround for a  
8           manual look-up is seven business days. By its May 25, 2001, final order on  
9           BellSouth UNEs in Docket No. 990649-TP, the FPSC set a manual look-up  
10          rate, without facility reservation, of \$43.10. Prior to that Order, BellSouth  
11          sought \$134 per manual LMU query, without facility reservation. There is  
12          no way that a seven-business-day interval just to figure out what loop type to  
13          order and a non-recurring charge of about \$1.50 less than the non-recurring  
14          charge for the SL-1 loop itself will work from a practical or economic  
15          standpoint for ordering voice service.

16                 On a mechanized basis, BellSouth sought to charge \$1.08 per query  
17                 before the FPSC's May UNE Order, which approved a \$.6757 per query  
18                 charge. Although FDN has discussed a mechanized LFACS – LMU option  
19                 with BellSouth as a means for addressing efficient voice loop ordering, FDN  
20                 does not know when the LFACS database will have the necessary  
21                 information and when it won't. The bottom line, however, is that no CLEC  
22                 should have to go through a prequalification process to know which

1           BellSouth-created voice loop type to order. CLECs should be able to simply  
2           order a voice-grade loop.

3                       BellSouth currently offers coordination options for SL-1 loops that  
4           were not available at acceptable prices before the Commission’s May UNE  
5           Order. FDN requests that those same options be available for its proposed  
6           generic voice-grade loop type.

7           **Q. Does that conclude your rebuttal testimony?**

8           A. Yes.

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23



1 BY MR. FEIL:

2 Q Mr. Gallagher, do you have a summary of your  
3 testimonies?

4 A Yes, I do.

5 Q Could you please provide the summary to the  
6 Commission.

7 A Yes. Good morning, Commissioners. As I said, I'm  
8 Mike Gallagher, CEO of FDN; I appreciate the time here today.  
9 We're based down in Orlando. That's my hometown. Florida is  
10 where I've been in the competitive local exchange business for  
11 most of my career. It's been a great business up until about a  
12 year ago. I founded FDN to serve the small to medium customers  
13 that were bypassed by the first wave of ALECs that hit the  
14 State that were interested in connecting larger companies and  
15 providing local competitive service to larger companies.

16 Our plan from the beginning was to serve the small to  
17 medium businesses, widely disbursed, and possibly even  
18 residential customers. Our strategy employs the UNE loop  
19 offering where we built our own switches. We have four  
20 classified switches, built our own fiber. We have several  
21 hundred miles of fiber, built our own collocations out. We  
22 have roughly a hundred collocations built out. We've spent  
23 about \$60 million on our network, but the last mile or the last  
24 couple hundred feet we buy from BellSouth as a UNE. It's  
25 really the only economically feasible way to provide

1 competitive service to small customers.

2           We're unique in that we're the largest procurer of  
3 UNEs in the State. We've been told that by BellSouth, our  
4 BellSouth account team. We currently serve about 60,000 lines  
5 and 20,000 customers to give you a ratio of roughly three lines  
6 per customer, so just, you know, to show we are -- we do serve  
7 the small customers. Now that the UNE loops have been lowered  
8 in price recently, we intend to plan to go into the residential  
9 market, so we're looking at that pending a positive outcome of  
10 this matter.

11           Most people think of the telephone network as an  
12 exchange building and a copper loop that runs right to the  
13 customer. In the state of Florida we're different. The simple  
14 model works in a lot of the rest of the country, but here,  
15 Florida is uniquely different. If I may draw just a quick  
16 picture.

17           COMMISSIONER DEASON: You need to have a microphone  
18 close by so the court reporter can hear.

19           THE WITNESS: Just real briefly, I'll draw the simple  
20 diagram where we have a central office, and we have copper  
21 running directly to the customer. Florida, however, had a late  
22 population growth happening in the '70s and '80s, as I'm sure  
23 you-all are aware, where we just boomed. In that case that  
24 coincided with a different architecture for the local loop.  
25 The telephone companies at the time -- when a developer bought

1 a, you know, burnt out orange grove out here and made houses  
2 and businesses out further away, there was the technology  
3 available to run the long route on fiber or some sort of other  
4 TDM long-haul piece here, and then put a remote terminal in  
5 where copper was then employed from there out. And this is  
6 really what the state of Florida's architecture looks like a  
7 lot more so.

8           You know, this is a typical northern town, you know,  
9 maybe, and this is a fast-growing late in the '70s and '80s  
10 southern town. So I can do my voice business fine through this  
11 architecture because the telecom law says that even if there's  
12 remotes out there and common transport, I can buy a UNE loop  
13 for my collocation. I've built a collocation out in here, FDN,  
14 and I can get a UNE loop through this shared transport out to  
15 the customer. It works, like I said, on about 60,000 of those  
16 lines. But if I want to put a DSLAM, which is what you need to  
17 provide DSL, it also needs continuous copper, and I put a DSLAM  
18 in here, it won't work for 90 percent of the subscribers in  
19 BellSouth territory. Roughly 90 percent are served behind  
20 remotes. So I could get about 10 percent of the market share,  
21 and, you know, I really think that's a big reason why you're  
22 seeing all these DLECs, you know, going bankrupt and out of  
23 business, among other things. But we could not do that.

24           Now, BellSouth places their DSLAM out at the remote.  
25 They are telling me that I can place a DSLAM out at the remote.

1 There's 12,000 remotes. There's 12,000 remotes out there.  
2 What I need is the ability to have a UNE loop that goes just  
3 like my voice loop, but it goes as a -- instead of low  
4 frequency here, I need high frequency, and instead of common  
5 digital transport here, I need packets that go back. And I'll  
6 be able to do the same thing that I do with my voice except  
7 I'll be able to do it as data. And that's very important to  
8 understand. And that's kind of the drawing I just wanted to  
9 drawn.

10 COMMISSIONER JABER: Mr. Gallagher, how is all of  
11 that -- could you leave that for just a minute?

12 THE WITNESS: Sure.

13 COMMISSIONER JABER: How is all of that different  
14 from the Line Sharing Order requirements?

15 THE WITNESS: Line sharing was pushed by the DLECs,  
16 which you could see the "D" stands for dead now since  
17 NorthPoint is bankrupt. Rhythms is bankrupt and shutting off,  
18 and Covad is filing for bankruptcy. They didn't have a voice  
19 strategy. We have a voice strategy and a data strategy. We  
20 think you need both to survive in this new world. Where we've  
21 had a voice on this customer line and they order this BellSouth  
22 DSL, or when they have BellSouth DSL and BellSouth voice, when  
23 they order our voice, it shuts off the DSL. So 90 percent,  
24 theoretically, of our potential market we can't sell even our  
25 voice to it if they all take DSL.

1           COMMISSIONER JABER: Okay. So the difference in  
2 technology is with the DSL technology, it's your position you  
3 have to have a DSLAM to make that technology work for  
4 Internet --

5           THE WITNESS: Correct.

6           COMMISSIONER JABER: -- or data services.

7           THE WITNESS: Right.

8           COMMISSIONER JABER: With the Line Sharing Order and  
9 the requirements there, that required ILECs to provide a loop  
10 that could be split between data and --

11          THE WITNESS: Exactly. And that works fine if you're  
12 in Worcester, Massachusetts, or Richmond, Virginia, or  
13 something like that, where we have common copper and I'm a DLEC  
14 and I'm sitting in here and then the phone company has the  
15 low-frequency voice and line sharing says, okay, you've got to  
16 split that in here so that the DLEC can put high frequency on  
17 there from my collocation cage here. And if I have continuous  
18 copper that runs to most places, that works great. But that's  
19 why I want to make sure that you-all understand this is not a  
20 federal issue. The Federal Act in their Line Sharing Order,  
21 they said that they -- well, said up to 30 percent of the loop  
22 we expect could have remotes. They had no idea what they were  
23 talking about when it comes to Florida. They weren't talking  
24 about Florida. They were making a guess, and, you know, it's  
25 just different down here. It's a different deal.

1           So just -- the proof is in the pudding. Of 134,000  
2 DSL subscribers in BellSouth's footprint, 133,000 of them are  
3 served by BellSouth, and the other thousand are served by a  
4 carrier that, you know, may not even be here in a month or two.  
5 So, you know, there is no competition for DSL service in  
6 BellSouth's footprint. You know, that's just undeniable.  
7 Ninety-nine percent to me is, you know, monopolistic market  
8 share.

9           COMMISSIONER PALECKI: Those 1,000 customers who are  
10 served by competing carriers, are they competing carriers that  
11 have installed a DSLAM in the remote office?

12           THE WITNESS: No, sir.

13           COMMISSIONER PALECKI: How are they being served?

14           THE WITNESS: They are serving, like, the 10 percent  
15 of the copper that -- well, of this architecture of this CO,  
16 there is a small amount of home run copper. There is a small  
17 amount. So they will be sitting in there, and they will serve  
18 it that way. And, you know, that just isn't a sustainable  
19 market, we believe. So we believe we're impaired.

20           I've run the math. At 12,000 remotes times the  
21 DSLAM, the cost of the DSLAM, I run that, I run the 12,000  
22 remotes plus, you know, the back-haul cost that gets me back to  
23 the central office, I run that against my revenue, and I can  
24 never make a buck.

25           COMMISSIONER PALECKI: What is the cost of the DSLAM?

1 THE WITNESS: We estimate that it would cost  
2 approximately \$52,000 to install a DSLAM at a remote. It could  
3 cost more, it could cost less, but that's what we use in our  
4 model.

5 COMMISSIONER PALECKI: And how many customers could  
6 be served with DSL off of a single DSLAM?

7 THE WITNESS: For our model that was 48 customers,  
8 but you can add additional cards and blades in the DSLAM for  
9 more. We would be guessing on our take rates. That's the key  
10 for us. We don't really have the captive market to sell into.  
11 We would have to make an estimation as to how much, and that  
12 goes into our business model. And that, we believe, from the  
13 get-go -- I've been raising money for several years now, and I  
14 know I couldn't raise that money. The rates of return aren't  
15 there.

16 COMMISSIONER DEASON: Under a typical architecture  
17 here in Florida, how many customers are served from a remote  
18 terminal?

19 THE WITNESS: There can be as small as -- as little  
20 as a hundred and as much as a thousand. We've made an  
21 estimation of about 500, as an average, lines, and depending on  
22 the resi (sic) business mix that could be, you know, anywhere  
23 from 50 to several hundred customers.

24 COMMISSIONER DEASON: Assume that there are 500  
25 customers served from a given remote terminal and just for the

1 sake of argument say that half of those wish to have DSL  
2 service, 250 customers out of the 500, how many DSLAMs would  
3 BellSouth have to put in to meet that demand? One or more than  
4 one?

5 THE WITNESS: Well, a 250-port DSLAM is probably --  
6 they're probably out there. That's a dense DSLAM.

7 COMMISSIONER DEASON: That's one of the bigger --

8 THE WITNESS: That would be a bigger one, yes, sir.

9 COMMISSIONER DEASON: But BellSouth could -- if that  
10 was their market projections and this is what they felt they  
11 needed, they could get one DSLAM to serve 250 customers?

12 THE WITNESS: I'm not completely -- I've never looked  
13 at one that big.

14 COMMISSIONER DEASON: That would be on the larger  
15 end?

16 THE WITNESS: Yes, sir.

17 COMMISSIONER DEASON: When you go to an area, your  
18 model looks at serving, did you say, 40 -- how many customers  
19 from one DSLAM?

20 THE WITNESS: Well, the DSLAM that we priced out is  
21 48 ports, but you can add additional ports to it. I don't know  
22 if it could get up to 250, but we made a guess. And that was  
23 just simply on a -- if we have 500 lines in a remote, we think  
24 at best we'd do a 10 percent, you know, take. And that would  
25 mean we'd need about 50 ports, so that's where we get the 48



1 number.

2 COMMISSIONER DEASON: What are the readily available  
3 sizes of DSLAMs? There's 48. Is there a 96-port DSLAM?

4 THE WITNESS: Yes, there are. And it depends on --  
5 you buy the chassis and the common equipment and the ATM  
6 backplane to it, and then you just put in cards for how many  
7 customers you think you're going to get. There's 12-port  
8 cards; there's 24-port cards; there may even be 48-port cards.  
9 And you just drop those in on "X" dollars per card. And if  
10 you're buying a whole bunch of them, you can buy those, you  
11 know, you can buy those fairly cheap.

12 COMMISSIONER DEASON: So your cost to serve per  
13 customer goes down with the number of customers you serve?

14 THE WITNESS: Yes, sir. The magnitude of the  
15 collocation process is also something that impairs me. I have  
16 collocated a hundred Bell COs. I know the pain that goes along  
17 with it. I've personally been involved in it. It's an arduous  
18 process. I'd have to collocate 12,000 remotes. Just -- if you  
19 do the \$3,000 is the application fee, that's \$36 million right  
20 there. It's a long time that goes by between when you put your  
21 collo app (sic) in and when you get your response back from  
22 Bell. There's a whole lot of stuff that goes on when they are  
23 preparing the space. We've sort of have had to manage that  
24 process very closely, and, you know, I've heard so far that  
25 they are going to make it easier, but based on my experience, I

1 just don't believe that that will be that easy to do that.

2 Even if I decided to begin the process of doing it,  
3 though, I'm still impaired because I will never catch up. I'll  
4 never be ubiquitous. I'll never be able to have the mass  
5 market. They are going to be at about 4,000 DSLAMs in these  
6 remotes or roughly a third of the way through by the end of  
7 this year, they've estimated. And that's taken several years  
8 to go for them to do that.

9 COMMISSIONER DEASON: You mentioned an application  
10 fee. What was that number again?

11 THE WITNESS: It's approximately \$3,000. In a  
12 central office, it's around that number. And I believe --

13 COMMISSIONER DEASON: This is a collocation  
14 application fee?

15 THE WITNESS: Yes, sir.

16 COMMISSIONER DEASON: That same fee would apply to  
17 the collocated DSLAM in a remote terminal?

18 THE WITNESS: It's my understanding that it would.

19 COMMISSIONER JABER: For each collocation for each  
20 remote terminal?

21 THE WITNESS: Yes.

22 COMMISSIONER PALECKI: Does BellSouth have a DSLAM in  
23 every remote terminal?

24 THE WITNESS: No, sir. It's our understanding that  
25 they're up to about 3,700 of their 12,000 and project to be at

1 about 4,000 by the end of the year.

2 COMMISSIONER PALECKI: Does that mean the customers  
3 in those other locations where there are no DSLAMs located  
4 don't have DSL service options?

5 THE WITNESS: Probably, yes, unless they have one of  
6 these home run copper loops that goes -- if they're lucky  
7 enough to be --

8 COMMISSIONER PALECKI: Unless they're part of that  
9 10 percent that connects directly to the home office.

10 THE WITNESS: Yes, sir, like an old neighborhood that  
11 might be close to downtown that was built, you know, right next  
12 to the central office.

13 COMMISSIONER DEASON: Let me ask a question; it may  
14 be silly. Have you entered into any negotiations with  
15 BellSouth as they expand these DSLAMs and say, we wish to  
16 provide service in these territories that are served from these  
17 remote terminals, and you don't have a DSLAM there yet, we're  
18 willing to pay "X" percentage of the cost of putting in your  
19 DSLAM if you let us use it to serve our customers?

20 THE WITNESS: We have not had any of those  
21 discussions, no.

22 COMMISSIONER DEASON: Because you feel like it would  
23 be unfruitful, or because it's just a concept you haven't  
24 considered?

25 THE WITNESS: Both.

1           COMMISSIONER DEASON: I mean, see, the reason I asked  
2 the question is that you're talking about a massive deployment  
3 of capital. Capital is not cheap.

4           THE WITNESS: Right.

5           COMMISSIONER DEASON: It's not cheap for you; it's  
6 not cheap for BellSouth. If we want to provide DSL service to  
7 the maximum number of customers out there who wish to have it  
8 as quickly as possible, if you share the cost, it may be the  
9 most economic way and perhaps the quickest way to do it, and  
10 you may do it in a cooperative manner such that customers  
11 benefit. Does that sound unreasonable?

12          THE WITNESS: No, it does not sound unreasonable,  
13 except for the fact that if I'm BellSouth, I know I'm going to  
14 get a pretty much enough take rate and return, and return my  
15 investment rather quickly.

16          COMMISSIONER DEASON: They have no incentive to do  
17 it.

18          THE WITNESS: I don't think they'd have an incentive  
19 to do that. And I don't, you know, have -- they're already --  
20 all those customers behind those remotes are probably already  
21 their voice customers. So they can -- you know, they've got  
22 sort of a pond they can shoot into, and I'd be coming in -- or  
23 maybe I'd be at a 10 percent market share I could get out of  
24 that, maybe more, maybe less. So my business model is a lot  
25 more variable on that revenue line and on that take rate line.

1           COMMISSIONER JABER: But assuming we address the  
2 incentive issue, or that you're just incorrect with respect to  
3 your position on the incentive issue, there isn't anything  
4 technology-wise that prevents you-all from sharing that DSLAM  
5 in each remote terminal; right?

6           THE WITNESS: No, I don't think so. The other piece  
7 you need to think about is, there's the remote, then there's  
8 back-haul to get you back to the CO. They have their own fiber  
9 that's been out there for years. That's a key piece of this.  
10 You know, don't be as focussed on the DSLAM itself. The  
11 transmission, we estimate, can cost about a thousand dollars to  
12 get from the remote back to the CO, times ten, twelve thousand,  
13 that's a million bucks a month in overhead right there.

14          COMMISSIONER DEASON: I thought in the opening  
15 statement -- I know it's not evidence, and we'll get to it when  
16 we hear the BellSouth witnesses, but I understood that  
17 BellSouth indicated that they recognized that they had a  
18 requirement to basically provide that type of transport to you  
19 if you had a DSLAM collocated at their RT.

20          THE WITNESS: Right. And we buy those UNEs right now  
21 between our central offices. We buy a UNE DS-3 from BellSouth.  
22 We pay about 1,500 bucks a month for it. We buy them all day  
23 long. So I still run that math, and I'm still way underwater  
24 economically unless something happens on a, you know, cost of  
25 capital or higher take rate.

1 COMMISSIONER DEASON: And \$1,500 per what?

2 THE WITNESS: Per DS-3, which is a high capacity --

3 COMMISSIONER DEASON: Is that more capacity than you  
4 need to serve the number of customers you would sign up from  
5 one RT?

6 THE WITNESS: It would depend on what type of  
7 customers. If we were selling SDSL customers or we were buying  
8 a higher chunk of, you know, dedicated bandwidth, you've got to  
9 reserve that for them. If you're just going to sell  
10 residential, you know, and you can sort of engineer it to be  
11 you don't need as much bandwidth, you could get by with  
12 potentially less.

13 COMMISSIONER DEASON: Okay. So I guess, what are you  
14 taking issue with, that you're having to buy more capacity than  
15 you need, or the price is just too high?

16 THE WITNESS: Well, they just jump on their fiber  
17 network. It's already sitting there. They don't have to do  
18 anything. They just jump on a SONET transmission system, give  
19 themselves an OC3 feeder, a DS-3 feeder, a T-1 feed that's  
20 sitting out feeding those remotes.

21 COMMISSIONER DEASON: Okay. But it's their network.

22 THE WITNESS: Right.

23 COMMISSIONER DEASON: I mean, they have installed it.  
24 They have paid for it, and they use it the way we wish. What  
25 do you -- how do you think that you are being impaired?

1 THE WITNESS: Because that network was built with a  
2 captive customer base when they could guarantee how much return  
3 they were going to get on it, and there was not at risk  
4 capital.

5 COMMISSIONER DEASON: Well, I guess my question is,  
6 are you taking issue with the TELRIC price which applies to  
7 that transport?

8 THE WITNESS: Well, possibly. I mean, I haven't -- I  
9 know that there's new UNE rates coming out for those DS-3s. We  
10 need to evaluate and see. Maybe we can do it at less cost, and  
11 also, it would depend on how we engineer it, what type of  
12 customers are we expecting to get, how much bandwidth do we  
13 need.

14 COMMISSIONER JABER: I know we're still in the  
15 summary of the testimony, Mr. Chair, and I apologize for that,  
16 but I want to make sure I understand the technology. If you  
17 could, take that drawing and draw me the DSL technology. I  
18 want to see what it looks like.

19 THE WITNESS: Okay.

20 COMMISSIONER JABER: The DSL -- the DS-3 is a loop;  
21 right? And that's the loop that's necessary -- it's part of  
22 what we would call DSL; correct?

23 THE WITNESS: Sure. Sort of. A DSLAM sort of -- you  
24 can think of it as two parts. There's an ATM side,  
25 asynchronous transfer mode, which is the "A" -- well, it's not

1 the "A" in the DSLAM, but it's the way all these -- the  
2 high-frequency circuits are groomed and made into packets.

3           So here's sort of the side of the DSLAM that has the  
4 customer subscriber cards in it, and these could be 12, 24, 48  
5 port, whatever. That connects the copper, and that's putting a  
6 high-frequency tone on the line, higher than the voice  
7 frequency because it can ride -- the voice and data can ride.  
8 So that's putting a high-frequency carrier wave that can carry  
9 maybe up to a megabit and a half. So out here we have a  
10 splitter. The low frequency goes to the telephone in the case  
11 of a residential DSL. It could be HDSL where there's no voice  
12 services -- or SDSL. And then you would have some sort of  
13 modem that gives you a connection to your computer. Back here,  
14 these circuits are all aggregated and packetized, and these  
15 DSLAMs on the back of them have several the interfaces. They  
16 are all ATM --

17           COMMISSIONER JABER: What is it you are calling the  
18 DSLAM? What part of that drawing --

19           THE WITNESS: This whole thing is a DSLAM. This  
20 whole thing. These circuits can be as slow as T-1. They can  
21 be a T-3. They can be OC3, optical carrier 3, optical carrier  
22 12, and maybe even some versions of electrical STS1, STS3s.  
23 And if I'm sitting here in a remote and I've got some  
24 transmission system -- let's just say I'm Bell. I'm sitting  
25 inside this remote terminal. I've got a digital loop carrier



1 sitting here that's -- you know, this copper comes in, and it's  
2 punched down on some sort of block where we both have access to  
3 the same copper. Before I put this DSLAM in here, I'm  
4 providing dial tone to this customer. I jump onto this  
5 transmission system somehow with T-1 from my digital loop  
6 carrier, and this thing goes on back to the CO. It might go to  
7 another remote. It might go to, you know, Ryder Truck or some  
8 big corporate customer. You know, it's their fiber network, I  
9 don't know where it goes.

10           So this is the BST fiber that's, you know, been  
11 bought and paid for there. They are just simply going to jump  
12 from this ATM right over into this transmission system and ride  
13 on that fiber somehow. These ATM switches also even have  
14 optics. So they could -- rather than even get on the  
15 transmission system, if there's a fiber cable here that's got  
16 some spare fibers in it, you can just plug those guys right  
17 back into this ATM, and it produces the light.

18           COMMISSIONER JABER: Okay. So the configuration of  
19 the DSLAM allows you to do more or less depending on what's  
20 coming out of the DSLAM.

21           THE WITNESS: That's right, you oversubscribe. If  
22 you have 100 customers here, you don't put 100 times the amount  
23 of bandwidth here. You engineer it to oversubscribe.

24           COMMISSIONER JABER: So then my question is, if the  
25 ALECs put the DSLAM there and configure it the way they want,

1 doesn't that provide more flexibility for the ALEC? And price  
2 notwithstanding, but if --

3 THE WITNESS: Right.

4 COMMISSIONER JABER: -- you have more flexibility by  
5 placing your own DSLAM.

6 THE WITNESS: Price notwithstanding and collocation  
7 application process notwithstanding. I mean, this thing might  
8 be sitting there; it's all full up. I've got to now go over  
9 and get a piece of land. I've got to condemn it, or I've got  
10 to use my common carrier to go in the city right away and say,  
11 pour a pad, you know, put one of these things in. I need  
12 power. They are going to have power in here. I'm going to run  
13 breakers over to, you know, some power. I'm going to need  
14 cable to run into this MDF. That is a big job. That's a big  
15 job to do that in addition. It wouldn't be a big job if there  
16 was only a couple hundred of them, but the magnitude here is  
17 enormous.

18 COMMISSIONER PALECKI: What is the greatest number of  
19 customers you serve in any single -- out of any single remote  
20 terminal?

21 THE WITNESS: You know, we don't serve any customers  
22 out of remotes now, so I don't think I'm qualified to answer  
23 that. We estimate how many -- we just divide BellSouth's total  
24 lines, you know, into their remote, so we estimate, you know,  
25 that there's roughly, you know, 500 lines out.

1 COMMISSIONER PALECKI: So you don't even know what  
2 remote terminals your signal goes through?

3 THE WITNESS: Yes, sir. I don't know where they are.  
4 I don't know exactly how they correspond to addresses. We've  
5 looked into this. We've realized that we've got to tie the  
6 remote not necessarily to a geography but also to the address,  
7 because then we can, you know, mark it, you know, sort of  
8 surgically after those guys --

9 COMMISSIONER PALECKI: As a marketing strategy, could  
10 you identify -- you testified earlier that these remote  
11 terminals typically serve between 100 and 1,000 customers.  
12 Could you identify those remote terminals that serve a greater  
13 number of customers, a thousand or so, and target those remote  
14 terminals for your own DSLAM rather than seeking to serve a  
15 BellSouth?

16 It would seem, if the DSLAM can serve 48 customers  
17 out of 1,000 BellSouth customers, it would be practical to  
18 believe that you could market DSL to that many.

19 THE WITNESS: It's my belief from just a pure  
20 business perspective that they have already gone to the  
21 largest. They have already hit those, and they've got a fairly  
22 decent penetration in those remotes. So we might be the second  
23 one in there, and that impacts our revenue projections, the  
24 market share, but that --

25 COMMISSIONER JABER: I wish someone would realize --

1 THE WITNESS: If that was a green -- I'm sorry?

2 COMMISSIONER JABER: I wish someone would realize  
3 that there's a huge market in some of the most rural areas.

4 THE WITNESS: There is, there is.

5 COMMISSIONER JABER: That area is going to grow. You  
6 identified yourself that Florida is amazingly large with  
7 respect to development and growth, and if we have developed in  
8 the busiest areas, that only leaves one major place for future  
9 development.

10 THE WITNESS: That's right, and also residential.  
11 There's no real CLEC -- facilities-based CLEC. Now, I'm not  
12 talking about UNE-P or resale, but there's nobody doing these  
13 UNE loops for resis (sic), and that's what we want to do. But  
14 if we are providing residential dial tone to somebody and  
15 they're doing the dial-up modem, that works great, but as soon  
16 as they decide they want DSL, and they inevitably are going to  
17 get BellSouth DSL, it won't work. And that's what we need  
18 immediate relief on right now.

19 We've been doing this for two years. We're running  
20 out of customers to sell to who don't have BellSouth DSL,  
21 because when we switch them over to our voice, BellSouth  
22 chooses to shut off that DSL and say, sorry. And the  
23 customers, they don't know. You know, we're talking about the  
24 concept of BellSouth doesn't sell to retail, they wholesale to  
25 the ISPs or themselves. Customers don't know that. They think

1 they are buying it from BellSouth. It comes in on their bill  
2 and it says BellSouth. It's marketed BellSouth. You know,  
3 they think it's all bundled together with the phone company.

4 COMMISSIONER JABER: I'm going to ask you one final  
5 question, and we should get back to the procedure. How quickly  
6 could you penetrate the residential market if we ruled in favor  
7 of your position on this issue? You said that -- you've  
8 identified you're targeting small businesses now, and you've  
9 been relatively successful, and your next course of action  
10 would be the residential consumer for DSL. How quickly could  
11 that happen?

12 THE WITNESS: I don't know how successful we would  
13 be, but I do have peers that have started companies like ours  
14 in other parts of the country and in the mid-Atlantic area,  
15 specifically Richmond. My one colleague up there was able to  
16 get 10 percent market share residential, you know, within his  
17 first 18 months of operation. So I'd feel pretty excited about  
18 going after and getting some good residential market share.

19 COMMISSIONER PALECKI: Now, you've testified that if  
20 a potential customer has BellSouth DSL, that you cannot provide  
21 them with voice service.

22 THE WITNESS: No, sir.

23 COMMISSIONER PALECKI: What if one of your customers  
24 wants DSL service? Do they have any option other than  
25 BellSouth?

1 THE WITNESS: I don't believe so at this time, no.

2 COMMISSIONER PALECKI: So you would lose that  
3 customer if they wanted to hook up with DSL?

4 THE WITNESS: Yes, sir, and that happens every day.  
5 And I take escalation calls from customers who have switched to  
6 us. Their DSL shuts off. They are out of business, you know,  
7 and they want me to do something about it.

8 COMMISSIONER PALECKI: So the problem is twofold.  
9 You're losing existing customers, any existing customer that  
10 wants DSL is gone, and any customer you want to target that has  
11 DSL, you have no potential to capture that customer.

12 THE WITNESS: Yes, sir. That's the one big issue  
13 that we're here. The second issue that we're asking for is,  
14 the same way we buy the voice UNE, we're asking for some sort  
15 of resale or DSL UNE.

16 COMMISSIONER PALECKI: But the resale you're talking  
17 about is only where BellSouth already provides DSL service;  
18 correct?

19 THE WITNESS: Yes. Yes, sir.

20 COMMISSIONER PALECKI: Not where there is not DSL  
21 service already connected to the customer.

22 THE WITNESS: Right. I --

23 COMMISSIONER DEASON: Another question and we'll let  
24 you get back to your summary in just a moment.

25 THE WITNESS: No, no. Go ahead.

1 COMMISSIONER DEASON: In your opinion, to get  
2 meaningful penetration into the residential market, must you  
3 package your services and market to customers who are going to  
4 be subscribing to both data and voice, or do you think there's  
5 any market out there just for voice residential?

6 THE WITNESS: I think that there's a good market for  
7 just voice, but I think I would be irresponsible to go into  
8 this thinking that the DSL percentages is not going to go up  
9 over time, and then I would eventually lose my customer base I  
10 bought. I couldn't represent to investors that I have a  
11 sustainable business if I didn't have a DSL strategy.

12 COMMISSIONER DEASON: So even if you got significant  
13 penetration in the residential market, would the growth of DSL  
14 or data services and customers' desires you feel like that even  
15 with that significant penetration, you would then lose  
16 customers who decided to change?

17 THE WITNESS: Yes, sir, exactly.

18 COMMISSIONER DEASON: When I say "change," to add --

19 THE WITNESS: DSL.

20 COMMISSIONER DEASON: -- DSL service.

21 THE WITNESS: Yes. We think we could have a nice  
22 bundle of dial-up and local and add some features in and long  
23 distance and do really good, but as soon as they wanted DSL,  
24 we'd be in trouble.

25 So just in summary, I've gone on a while here, and I

1 appreciate the time. We started with ten issues, we dropped  
2 nine of them. Over the two years of working together, we  
3 believe in working stuff out with BellSouth. We try to work it  
4 out at the field level, at the CO level, you know, in the  
5 engineering level, at the legal level, but this is just one  
6 that just is, you know, it's really paramount important for us,  
7 and it's quickly becoming a life or death matter for FDN. We  
8 think we're a real player here in Florida. We've got the right  
9 strategy. We just have a unique circumstance that we need  
10 help. So that's all I had to say.

11 COMMISSIONER JABER: Mr. Gallagher, overall, your  
12 experiences with BellSouth have been good, haven't they?

13 THE WITNESS: I would say yes. We believe in  
14 cooperation. Like I said, we try to keep out of you-all's  
15 chamber's here and work it out and usually we can.

16 COMMISSIONER JABER: How is it you communicate with  
17 your staff about how they'll communicate with BellSouth?

18 THE WITNESS: I've typically found that when my staff  
19 gives me a bad result, its easy to blame somebody else, but if  
20 you look inward, you know, you usually find that, well, we may  
21 have, you know, done something wrong ourselves. And so a lot  
22 of the times it's ourselves. And when we do identify it, we  
23 strip away all of the parts where FDN messed up, you get a very  
24 clear picture. And once you have that clear picture, you go to  
25 BellSouth with it and say, hey, you guys are taking -- you



1 know, you're throwing all our SL1s into PF status the day  
2 before, you know, the cutover. We need you to fix this. They  
3 are getting better at it. They are getting better. So if you  
4 come to them with a very specific, then you can work with them.  
5 But if it's, you know, I don't like you, you don't like me, you  
6 did this to me, you know, on a very generic basis, you don't  
7 get anywhere.

8 COMMISSIONER JABER: Do your employees take advantage  
9 of the training brochures and the training classes that  
10 BellSouth offers for -- I've forgotten what it's called, but  
11 for the ALEC customer, basically?

12 THE WITNESS: I don't know specifically. I know they  
13 go to Birmingham and Atlanta for training on the TAG gateway,  
14 for example, or for dealing with the CSR people. We've been  
15 told by them that we're the largest provider of these UNE  
16 loops. Nobody is even close. You know, there is nobody even  
17 close. So I appreciate your time, and that's all I had to say  
18 on my opening remarks.

19 MR. FEIL: I don't know if that was the longest  
20 summary in the history of the PSC or not, but anyway, I suppose  
21 we tender the witness for cross now.

22 COMMISSIONER DEASON: BellSouth.

23 MR. TURNER: Thank you, Commissioner Deason.

24 CROSS EXAMINATION

25 BY MR. TURNER:

1 Q Mr. Gallagher, good morning, I'm Patrick Turner. We  
2 met a couple of weeks ago at your deposition, I believe. And  
3 let me start by just briefly doing some housekeeping about the  
4 deposition. I received from your counsel an errata sheet in  
5 which you made a few minor changes to your deposition  
6 testimony. Aside from those changes on that errata sheet, I  
7 take it that everything else in your deposition testimony is  
8 correct?

9 A Yes, except I'd like to substitute proper grammar for  
10 all the times I said you-all.

11 Q You-all is proper grammar, Mr. Gallagher. So we can  
12 agree then that with the exception of the errata sheet, if I  
13 were to ask the same deposition questions today, your answers  
14 would be the same; right?

15 A Yes, sir.

16 Q Mr. Gallagher, before we get too far into this, there  
17 was one thing you said in your summary -- several and I'm going  
18 to hit them as we go. But one thing I want to hit up front, I  
19 believe I understood you to say that the application fee for  
20 collocation at a remote terminal would be \$3,000. Did I hear  
21 your understanding correctly?

22 A Yes, that's my understanding.

23 Q Mr. Gallagher, do you have a copy of what has been  
24 entered as Staff Exhibit Number 5?

25 MR. FEIL: I'll hand it to him.

1 Q Actually, I think it's just Exhibit Number 5. It's  
2 Stipulation 5. I believe your counsel has handed you a copy of  
3 it. Go with me, if you will, to Item Number 58, please.

4 A I see it.

5 Q Now, there BellSouth was asked to identify all  
6 recurring and nonrecurring costs and charges associated with  
7 CLEC collocation of a DSLAM at a remote terminal; right?

8 A Yes.

9 Q Would you read for us the application fee that's  
10 there under the nonrecurring cost?

11 A "\$615.61."

12 Q And you've never -- FDN has never actually submitted  
13 a collocation application regarding a remote terminal; right?

14 A No, we have not.

15 Q So you have no experience to indicate that that  
16 \$615.61 number is wrong; correct?

17 A Correct.

18 MR. TURNER: Commissioner Deason, if I may, I have  
19 two exhibits that are diagrams. With your permission, I'd like  
20 to pass both of them out, so we can save the time in passing  
21 them out, and then once everybody has copies, we'll start going  
22 through them, if that's okay.

23 COMMISSIONER DEASON: Sure. Do you wish to have  
24 these identified?

25 MR. TURNER: Yes, sir. I think once the witness gets

1 it in his hand we can -- they are a little bit different. We  
2 can go through and mark them for identification at that point,  
3 if that's okay.

4 COMMISSIONER DEASON: That will be fine. We will  
5 identify the exhibit which has the DSLAM within the central  
6 office as Exhibit 7 and the exhibit which has the DSLAM in the  
7 remote terminal as Exhibit 8.

8 (Exhibits 7 and 8 marked for identification.)

9 MR. TURNER: Thank you.

10 BY MR. TURNER:

11 Q Mr. Gallagher, if you would, what I'd like to do now  
12 is just generally walk through with these diagrams in basic  
13 terms what it takes to provide both voice and data service to a  
14 single customer over a single loop. And if we could, let's  
15 start with Exhibit Number 7. And as Commissioner Deason just  
16 noted, that's the one that has the DSLAM and the collocation  
17 space at the central office. Do you have that in front of you?

18 A Yes, I do.

19 Q Now, let's go through it. I'm going to walk you  
20 through how this is drawn out, and we'll start talking about  
21 it. Over to the far right of the page, we have an end user  
22 represented by that telephone; right?

23 A Yes.

24 Q And then we have a copper facility running from the  
25 end user premises to a remote terminal that serves the end

1 user; right?

2 A Yes.

3 Q At the remote terminal, it's hooked to another copper  
4 facility in this instance that runs back to the central office;  
5 right?

6 A Yes.

7 Q And at the central office in the CLEC collocation  
8 space, we have drawn a DSLAM; right?

9 A Yes.

10 Q And FDN does, in fact, have some DSLAM equipment  
11 collocated in central offices in BellSouth's central offices in  
12 Florida; right?

13 A Yes.

14 Q Okay. Now, just to make this a little easier, let's  
15 assume that the DSLAM in this central office has a splitter  
16 integrated into the DSLAM, okay? And, in fact, a lot of DSLAMs  
17 do have integrated splitters, don't they?

18 A Yes.

19 Q Okay. And assume with me, it's not drawn here, but  
20 just assume with me that the DSLAM is going to be connected by  
21 transport facilities back to a packet switch somewhere else on  
22 FDN's network, okay?

23 A Yes.

24 Q And that's, in fact, what happens in some central  
25 offices in Florida; right?

1 A Yes.

2 Q All right. Let's look at what happens to provide  
3 voice and data over this single loop to the end user. And to  
4 illustrate that, assume that the end user is talking on the  
5 telephone with a friend while at the same time he's surfing the  
6 Internet, okay?

7 A Yes.

8 Q In that case, the voice traffic is going to be  
9 transported along the lower frequency portion of this copper  
10 loop; right?

11 A Correct.

12 Q And simultaneously that data traffic that's going  
13 back and forth through the Internet, it's going to be  
14 transported on the higher frequency portion of that same loop;  
15 right?

16 A Correct.

17 Q In my diagram, the voice and the data are going to be  
18 traveling along together sort of like on a highway until they  
19 hit the DSLAM that's collocated at the central office; right?

20 A Correct.

21 Q And once it hits the DSLAM, that splitter is going to  
22 peel off the voice from the data; right?

23 A Correct.

24 Q And the voice is going to be sent from this DSLAM to  
25 the circuit switch, and it's going to go, get completed just

1 like any other voice call; right?

2 A Correct.

3 Q The data, once it's split off, the DSLAM is going to  
4 packetize the data; right?

5 A Yes.

6 Q And then it's going to send that data back to your  
7 packet switch; right?

8 A Correct.

9 Q And from there, it's going to be sent through and  
10 terminated just like any other packet switching type call;  
11 right?

12 A Yes.

13 Q Now, in this case here, you had drawn, and it's still  
14 there, on this diagram you have on the poster board that you  
15 were working off of, the blue diagram, that's, in effect, the  
16 same thing as what we're talking about in Exhibit Number 7;  
17 right? That's an all copper loop to the end user; right?

18 A Yes, sir.

19 Q And there you don't have to collocate. FDN does not  
20 have to collocate a DSLAM at that remote terminal in order to  
21 provide both voice and data to that end user; right?

22 A If the loop length is adequate, yes.

23 Q That's a good point. If you get above 18,000 feet,  
24 we're going to have problems; right?

25 A Right, or if there's cable pair exhaust.

1 Q And that is a technological function; right? In  
2 other words, if you had longer than an 18,000-foot loop, both  
3 BellSouth, FDN, and anyone else is going to have problems  
4 providing voice and data over that same loop to one customer;  
5 right?

6 A Well, we would have more problems than you because I  
7 would believe eventually you would put a DSLAM in out there,  
8 and you would shorten your loop length.

9 Q Okay. So you are saying that we could work around  
10 it. Let's assume they'll work around, though.

11 A Okay.

12 Q Let's assume that we have a loop length of  
13 30,000 feet, for instance.

14 A Okay.

15 Q BellSouth is going to have a problem providing voice  
16 and data to that end user over that same loop; right?

17 A Right.

18 Q And FDN is going to have the same problem; right?

19 A Right.

20 Q And that's just a function of today's technology;  
21 correct?

22 A Yes.

23 Q I may have misheard you during your summary, and if I  
24 did, I want you to correct me, but during your summary, you  
25 said, I believe, that 90 percent of the access lines, BellSouth



1 access lines, in Florida are served by remotes; right?

2 A Correct.

3 Q Did you mean to imply there that 90 percent of  
4 them -- let me say it this way. Did you mean to imply that  
5 only 10 percent of the access lines in Florida are served by  
6 continuous copper like we've diagramed here in Number 7?

7 A Ninety percent of the customers based on the data  
8 that, you know, we've got from you-all, 90 percent are served  
9 by either a fiber or copper fed remote. So I think it was  
10 60 percent by fiber fed, and then it would be, the other  
11 30 percent would be copper fed. So in the case of a copper fed  
12 remote, you are using T-carrier or something on that copper  
13 you're feeding it with.

14 Q Okay. So I want to make sure I clarify there. Am I  
15 understanding you to say that based on BellSouth's discovery,  
16 this all copper exists about 30 percent of the time in  
17 BellSouth's network?

18 A Yes. But this diagram, there would be more copper  
19 going from the remote to the end user than there is copper  
20 going from the remote back to the DSLAM.

21 Q Okay. But in an all copper scenario like we have in  
22 Number 7 here, we've already acknowledged that FDN does not  
23 have to put a DSLAM at that remote terminal to serve that  
24 customer with DSL service; right?

25 A If we could get -- the important piece of copper is

1 the one that goes from that DSLAM to the remote. That's where  
2 you-all typically come back and say, we're out of copper, on  
3 that piece. The piece from the remote out, obviously, that's  
4 there. But it's a cable exhaust issue typically on a remote  
5 fed -- copper fed remote.

6 Q It's a cable exhaust issue, not a DSLAM/nonDSLAM  
7 issue; right?

8 A Yes, sir.

9 Q And we're here today on the DSLAM/nonDSLAM issue;  
10 right?

11 A Right.

12 Q Now, let's go to --

13 COMMISSIONER JABER: I'm sorry, Mr. Turner. May I  
14 interrupt for just a minute?

15 MR. TURNER: Sure.

16 COMMISSIONER JABER: They come back and tell you they  
17 are out of copper?

18 THE WITNESS: Correct. Because -- what you have here  
19 is a remote that's, you know, put in out at some far end place.  
20 They didn't -- for whatever reason, they didn't run copper from  
21 that remote back to the CO. They put a big, you know, several  
22 hundred count copper cable, and inside that cable, they're  
23 running, like, a T-carrier, a digital carrier, that they can  
24 put a bunch of capacity on, so then that cable goes to the  
25 remote. The remote might be serving, you know, hundreds and

1 hundreds of lines, so there might be, you know, 500 or a  
2 thousand lines feeding the remote but only a hundred or 200  
3 pair cable going back to the CO. And they're using -- on that  
4 cable they're using time division multiplexed, TDM, digital  
5 carrier. And if you try to push DSL through that, it doesn't  
6 work. So you need a pure copper -- you have to request, I need  
7 a pure copper conductor on this route.

8 COMMISSIONER JABER: And forgive my ignorance on  
9 this. That's not something that's constantly available?

10 THE WITNESS: You know, because of the way that loop  
11 is constructed, we've typically -- our experience has been, you  
12 go through this thing called a loop makeup request, and it's  
13 been that, you know, it's just not available there.

14 COMMISSIONER PALECKI: But didn't you say that this  
15 pure copper scenario, which is depicted on Exhibit Number 7,  
16 exists approximately 30 percent of the time on BellSouth's  
17 network?

18 THE WITNESS: Thirty percent of the time you are  
19 dealing with a customer who's behind a copper fed remote.  
20 Again, our estimation in doing business, we'd say 60 percent of  
21 them are behind fiber fed remotes, 30 percent are behind fiber  
22 fed remotes, and 10 percent you can get a copper shot straight  
23 through. I don't know if they are going through a remote or  
24 not. It just -- you know, you can get a copper --

25 COMMISSIONER PALECKI: And those are the 10 percent

1 that are connected directly to the central office?

2 THE WITNESS: Yes, sir.

3 COMMISSIONER PALECKI: So you have that 10 percent  
4 plus the 30 percent you could serve now using your existing  
5 DSLAM in the collocation space?

6 THE WITNESS: If there was copper available, yes, if  
7 there was copper available from that DSLAM to that remote.

8 COMMISSIONER JABER: And if the end user is located  
9 18,000 feet or less from the central office.

10 THE WITNESS: That's right.

11 COMMISSIONER PALECKI: You said if there is copper  
12 available.

13 THE WITNESS: Right.

14 COMMISSIONER PALECKI: What percentage of the time is  
15 there copper available? How much does that cut down on the  
16 percentage?

17 THE WITNESS: I don't know the exact percentages. I  
18 don't know. It's been enough that we have pretty much, because  
19 we've had to turn down customers enough, we have gone away from  
20 even trying to ask for it anymore.

21 COMMISSIONER PALECKI: But you're saying it's  
22 something less than the 10 percent plus the 30 percent.

23 THE WITNESS: Yes, sir.

24 COMMISSIONER PALECKI: Your scenario where you can  
25 actually serve without providing a DSLAM in a remote terminal

1 is something less than 40 percent of --

2 THE WITNESS: Yes, yes, I would say that. I would  
3 say that this Exhibit 7 drawing to be more accurate, you know,  
4 would depict a bunch of, you know, copper coming out of that  
5 remote serving subscribers, and then copper -- it's not a  
6 one-for-one copper cable going back to that DSLAM. It's one to  
7 end in some manner.

8 COMMISSIONER PALECKI: So sometimes it works,  
9 sometimes it doesn't.

10 THE WITNESS: Yes.

11 COMMISSIONER DEASON: But that's just -- I mean,  
12 that's efficient engineering of a network. You wouldn't want a  
13 one-to-one ratio. I mean, it would inefficient; correct?

14 THE WITNESS: Right.

15 BY MR. TURNER:

16 Q Mr. Gallagher, just to explore that one step further.  
17 Assume with me that you have that situation that you've just  
18 described to the Commissioners where you don't have an  
19 available copper facility going back to the DSLAM from the  
20 remote terminal.

21 A Uh-huh.

22 Q Resolving that issue is a matter of simply putting in  
23 another copper facility from the remote terminal to the DSLAM.  
24 It's not an issue of putting a DSLAM at the remote terminal;  
25 right?

1 A I'm sorry, could you ask that question again?

2 Q Sure. The issue there is, does BellSouth put in  
3 another -- some more copper facilities from the remote terminal  
4 back to your DSLAM; right?

5 A Or find some that may be available.

6 Q Okay. Let's go now to Exhibit Number 8, and as we  
7 did the first time, do you have that in front of you,  
8 Mr. Gallagher?

9 A Yes.

10 Q As we did the first time, let's just walk through  
11 what's depicted on it, and we'll go from here. End user on the  
12 right-hand side of the page; right?

13 A Yes.

14 Q And we have a copper facility going from the end user  
15 to the remote terminal; right?

16 A Yes.

17 Q Let's skip the remote terminal for right now and look  
18 at what's going from the collocation space in the central  
19 office to the remote terminal. Now, in Exhibit Number 7 that  
20 was a copper facility; right?

21 A Right.

22 Q And in Exhibit Number 8 that's a fiber facility;  
23 right?

24 A Right.

25 Q And when you have this type of architecture where you

1 have copper from the end user to the remote terminal and fiber  
2 from the remote terminal back to the central office, in order  
3 to provide voice and data to that end user over the same loop,  
4 somebody has got to put a DSLAM in that remote terminal; right?

5 A Yes.

6 Q And you'll see, fortunately, we have put a green  
7 DSLAM in the remote terminal on Exhibit Number 8; right?

8 A Yes.

9 Q Okay. Now, without regard to who the carrier is for  
10 now, let's just walk through like we did before technologically  
11 at a high level what happens when this end user on the right  
12 side of the page is receiving voice and data over the same  
13 line, okay?

14 A Yes.

15 Q And again, he's talking on the telephone while at the  
16 same time surfing the Internet, okay?

17 A Yes.

18 Q Now, both -- again, the voice is going to go over the  
19 low-frequency portion of the loop to the DSLAM in the remote  
20 terminal; right?

21 A Yes.

22 Q And the data is going to go over the high-frequency  
23 portion of the same copper loop to the DSLAM in the remote  
24 terminal; right?

25 A Yes.

1 Q And again, let's assume that the DSLAM in the remote  
2 terminal has a splitter integrated just to make life simple,  
3 okay? So what's going to happen is, the splitter is going to  
4 peel the voice from the data; right?

5 A Yes.

6 Q The voice will then be transported by that fiber  
7 facility back to the collocation spot; right?

8 A Yes.

9 Q And from there, it will be sent to the circuit switch  
10 network, and it will be handled just like any other voice call;  
11 right?

12 A Yes.

13 Q The data, once it is split off from the voice, is  
14 then going to be packetized by that DSLAM at the remote  
15 terminal; right?

16 A Yes.

17 Q Once it's packetized, it's going to be sent over the  
18 fiber back to the collocation space; right?

19 A Yes.

20 Q And at the collocation space that packetized data is  
21 then going to be sent back up to your packet switch, and it's  
22 going to be terminated just like any other data traffic; right?

23 A Yes.

24 Q Now, just as an aside, do you have your direct  
25 testimony in front of you?



1 A Yes, I do.

2 Q Go with me to Page 6, Lines 11 through 14.

3 A Yes.

4 Q Mr. Gallagher, you did a bad thing, you got there  
5 before I did. In Lines 11 through 14, you say, "In the past  
6 quarter-century, as Florida's population grew explosively,  
7 BellSouth deployed a tremendous number of DLCs at remote  
8 terminals in its distribution network;" right?

9 A Correct.

10 Q Now, there where you're saying "DLCs in its remote  
11 terminal," you're talking about this situation we've diagrammed  
12 here on Exhibit 8 where you have fiber from the central office  
13 to the remote terminal; right?

14 A No, I don't necessarily mean fiber in every case. I  
15 mean there's a digital loop carrier time division multiplex  
16 device out there.

17 Q Okay. And we can agree, can't we, that that time  
18 division multiplex device is generally going to take place when  
19 you've got that fiber loop, right, the fiber fed loop?

20 A No. It can be served by copper T-carrier.

21 Q I understand that, but when you have fiber going into  
22 a remote terminal, then copper, you are going to have a DLC;  
23 right?

24 A Probably, yes. Yes.

25 Q And we can agree, can't we, that BellSouth has been

1 deploying that DLC type technology long before the 1996 Act  
2 came into place; right?

3 A Yes.

4 Q And BellSouth had been deploying that DLC technology  
5 long before FDN came into business; right?

6 A Yes.

7 Q Go back with me to Number 8. We have agreed, haven't  
8 we, that in order for any carrier to provide voice and data  
9 service over the same loop to this end user, a DSLAM is going  
10 to have to be placed in a remote terminal; right?

11 A Yes.

12 Q It's fair to say then, isn't it, that wherever  
13 BellSouth today is serving both voice and DSL type data  
14 services to an end user in Florida that is served out of this  
15 type of remote terminal arrangement, BellSouth has had to place  
16 a DSLAM at the remote terminal; right?

17 A Yep, yes.

18 Q And in each of those instances where BellSouth has  
19 placed a DSLAM in a remote terminal in order to provide that  
20 type of service to an end user, we can agree that BellSouth has  
21 had to purchase a DSLAM; right?

22 A Correct.

23 Q And after it's purchased the DSLAM, it's had to  
24 install that DSLAM at the remote terminal; right?

25 A Correct.

1 Q And if there wasn't space at that remote terminal,  
2 BellSouth would have to have augmented the space in the remote  
3 terminal before it put the DSLAM in; right?

4 A Yes.

5 Q And if there wasn't sufficient power at the remote  
6 terminal, BellSouth would have had to augment the power at that  
7 remote terminal before it placed the DSLAM; right?

8 A Yes.

9 Q If there were any zoning issues or right-of-way  
10 issues involved in placing that DSLAM in the remote terminal,  
11 BellSouth would have had to resolve those issues; right?

12 A Right.

13 COMMISSIONER JABER: Mr. Gallagher, do you know  
14 through your discovery in this proceeding where these  
15 situations are in Florida, where this sort of architecture is  
16 in place and where BellSouth has already placed the DSLAMs in  
17 remote terminals?

18 THE WITNESS: I do not know. No, I don't know where  
19 they are. I have been told that I could have access to that  
20 information by BellSouth, but I -- and where we have tried  
21 before, we don't know where the remotes are or how they  
22 correspond to addresses and which ones have been --

23 COMMISSIONER JABER: So to the degree you can get  
24 this information, though, you could also request the use of the  
25 DSLAM in these remote terminals so that you can provide DSL

1 service.

2 THE WITNESS: Absolutely.

3 COMMISSIONER JABER: Is that -- if BellSouth provided  
4 you that information --

5 THE WITNESS: Right. And we sort of do that now  
6 because we buy what they call their wholesale product, our ISP,  
7 and we try to resell it. And they have this availability on  
8 their Web page where you can go and say, is this place DSL  
9 capable, you know, punch in a phone number and they'll --

10 COMMISSIONER JABER: Okay. So to the degree this  
11 exists, you don't have disagreement?

12 THE WITNESS: What is it --

13 COMMISSIONER JABER: To the degree this sort of  
14 architecture is already in place and BellSouth has DSLAMs in  
15 some remote terminals, you don't have an issue there at all?

16 THE WITNESS: No. I have an issue in that my voice  
17 service doesn't work when the customer buys -- you know, wants  
18 BellSouth DSL.

19 COMMISSIONER JABER: Okay. This is a BellSouth  
20 customer in Exhibit Number 8. For you to use the DSLAM in this  
21 remote terminal to provide DSL service to your potential  
22 customer, that would kick voice service off?

23 THE WITNESS: Right, but I would not get to quote,  
24 unquote use the DSLAM. I'd have to buy their finished product,  
25 and if I bought their finished product, which, you know, they

1 call their Fast Access, and I put it on a line, I've got to put  
2 it on a BellSouth line. I can't put it on an FDN line.

3 COMMISSIONER JABER: I see. So it's an additional  
4 service that you have to buy to be able to use this DSLAM to  
5 provide DSL service to a customer --

6 THE WITNESS: Yes.

7 COMMISSIONER JABER: -- and that's called Fast  
8 Access.

9 THE WITNESS: That's correct. I buy the Fast Access,  
10 and then I've got to buy a phone line.

11 COMMISSIONER PALECKI: You can buy BellSouth Fast  
12 Access?

13 THE WITNESS: Yes, sir. I have an ISP, FDN.com,  
14 that --

15 COMMISSIONER PALECKI: And if you buy BellSouth Fast  
16 Access, do your voice lines still work?

17 THE WITNESS: No, sir.

18 COMMISSIONER PALECKI: So basically if your end user  
19 customer wants DSL service, there is no way the customer can  
20 get that DSL service and your copper lines will still work  
21 unless you install your own DSLAM --

22 THE WITNESS: That's exactly right.

23 COMMISSIONER PALECKI: -- or unless the issue in this  
24 docket is resolved that would require BellSouth to allow you to  
25 use their DSLAM.

1 THE WITNESS: That's exactly right.

2 COMMISSIONER PALECKI: If you used their DSLAM, are  
3 you talking about providing that BellSouth DSL service, or  
4 would you provide your own brand of DSL service?

5 THE WITNESS: If I got unbundled access to the DSLAM  
6 as in a UNE, I would have my own brand. If I were able to  
7 resell it, I would have my own brand. Even right now when we  
8 wholesale it, we try to brand it ourselves, but see, the  
9 wholesale rate that we buy from them, it's like 35 bucks.  
10 Their retail rate is 45 bucks. So there's not much arbitrage  
11 in there, especially when we've got to put in a phone line  
12 underneath it.

13 COMMISSIONER PALECKI: Well, there are really two  
14 solutions to your problem, is there not? One would be if  
15 BellSouth created -- and I'm not a technician, so correct me if  
16 I'm wrong, but if BellSouth created a situation where your  
17 voice lines would still work even though they're providing DSL  
18 service --

19 THE WITNESS: Right.

20 COMMISSIONER PALECKI: -- and you would be satisfied  
21 with that; correct?

22 THE WITNESS: I've been asking for that for two  
23 years.

24 COMMISSIONER PALECKI: Or where they would provide  
25 you with access to the DSLAM and you could provide your own DSL

1 service.

2 THE WITNESS: Correct.

3 COMMISSIONER PALECKI: One -- either of those  
4 solutions would be satisfactory to you?

5 THE WITNESS: In the first case what I would also ask  
6 for is a -- sort of a better price than the \$35, call it  
7 resale, call it whatever, and that's what we've tried to work  
8 out. You know, keep my voice working underneath, and we'll  
9 keep buying -- we'll be one of your biggest customers. We'll  
10 buy this Fast Access all day long, but we want a better -- we  
11 need a better rate. We need a resale like rate on it.

12 COMMISSIONER PALECKI: You want to be able to make  
13 some margin on selling BellSouth's Fast Access.

14 THE WITNESS: Yes, sir.

15 COMMISSIONER DEASON: But you agree that's not within  
16 our jurisdiction to tell BellSouth what their rate has to be  
17 for that service.

18 THE WITNESS: I believe the Fast Access service is a  
19 retail service that they sell to customers.

20 COMMISSIONER DEASON: So you're saying you think that  
21 it should be part of the resale requirement under the  
22 Telecommunications Act?

23 THE WITNESS: Yes, sir, I do. The customers think --  
24 they don't understand there's a difference, .net and Fast  
25 Access. They get it sold to them by BellSouth. You can -- you

1 know, there's billboards advertising. It's put on their phone  
2 bill. It's bundled, you know, in some of the win-back cases  
3 we've had to deal with. It is absolutely marketed out there to  
4 these customers.

5 BY MR. TURNER:

6 Q Mr. Gallagher, let's explore that a bit --

7 A Okay.

8 Q -- because we're using the term "Fast Access." I  
9 want to make that we're distinguishing and understanding what  
10 we're talking about. You understand that BellSouth has a  
11 tariffed telecommunications service, a DSL offering, that it  
12 provides to Internet service providers; right?

13 A Yes.

14 Q And that is -- do you understand that that tariff  
15 offering, that telecommunications tariff offering, is different  
16 than Fast Access service that BellSouth provides to its end  
17 users?

18 A You know, to me, it's all the same.

19 Q Well, let's talk about that. You've got an entity  
20 called FDN.net; correct?

21 A .com.

22 Q .com?

23 A Right.

24 Q And there are occasions, I believe, from your  
25 deposition testimony, aren't there, where FDN.com purchases the



1 DSL telecommunications offering from BellSouth; right?

2 A Yes, they do.

3 Q And then it adds -- it uses that telecommunication  
4 service as the vehicle by which it gives us Internet service to  
5 its end users; right?

6 A Right.

7 Q So you'll agree with me, won't you, that the DSL  
8 product that FDN.com is buying from BellSouth is not the same  
9 thing as the Internet service offering that FDN.com is selling  
10 to its end users, is it?

11 A It competes directly with BellSouth.net buying Fast  
12 Access from BellSouth, the phone company. That's why it's not  
13 a very viable -- but it's not a very large percentage of our  
14 revenue, and it's not a very attractive product that has a lot  
15 of traction.

16 Q Mr. Gallagher, that wasn't quite my question.

17 A Okay.

18 Q My question is: Let's think about a car, okay? Ford  
19 will sell me a Taurus; right?

20 A Right.

21 Q And Ford can go out and buy the seats in that Taurus  
22 from some other company; right?

23 A Right.

24 Q Put it in the Taurus and I buy the Taurus; right?

25 A Right.

1 Q That doesn't mean that I am buying my seats from  
2 whoever made them; right? The thing I'm buying is a finished  
3 car from Ford; right?

4 A Right. I liked your water example earlier.

5 Q Okay. Now, let's go back and talk about what FDN.com  
6 is selling to its end users. FDN.com is selling to its end  
7 users an Internet service; right?

8 A The end users think they're buying DSL. They  
9 don't -- you know, I want DSL. They're not saying, "I want an  
10 Internet service."

11 Q Well, when an end user wants a telephone service, he  
12 doesn't specify to you that he wants a UNE combination or a  
13 UNE-P or resold, he just wants telephone service; right?

14 A Well, yeah.

15 Q Okay. So let's set aside for a minute what the end  
16 user is asking for, and I want to focus on what FDN.com is  
17 providing that end user.

18 A Okay.

19 Q What FDN.com is providing the end user is the  
20 Internet service as a package; right?

21 A Right, high speed.

22 Q And part of that Internet service is the  
23 telecommunications pipe; right?

24 A Right.

25 Q And what FDN.com has done is, it has bought that

1 telecommunications pipe from BellSouth; right?

2 A Right.

3 Q It's then put its Internet water through the pipe,  
4 and it sells the end user the pipe with the water in it; right?

5 A Right, but we don't own the water company. The water  
6 company and the pipe company aren't the same company in our  
7 case.

8 Q I understand that.

9 COMMISSIONER PALECKI: Let me ask a question on this  
10 matter. If a customer wants to order DSL service from  
11 BellSouth, can they order just the DSL and provide their own  
12 Internet carrier, or do they have to order the Fast Access?

13 THE WITNESS: It's my understanding they can't just  
14 order the Fast Access, but most of them don't -- they just want  
15 Internet access --

16 COMMISSIONER PALECKI: Well, it's my understanding  
17 that Fast Access is bundled.

18 THE WITNESS: Right.

19 COMMISSIONER PALECKI: It's the DSL service and the  
20 Internet service as well. But let's say a customer does not  
21 want the Internet service. They want to go through somebody  
22 else.

23 THE WITNESS: Like AOL or somebody.

24 COMMISSIONER PALECKI: Like AOL. Can a customer just  
25 say, I only want the DSL service that's being offered in the

1 tariff from BellSouth, and I'll go ahead and get my own  
2 Internet provider?

3 THE WITNESS: Here's how that works. What they say  
4 is exactly what you said. And the way to do that is, they just  
5 call AOL and say, I want Fast Access, and AOL will then just  
6 order it. So the customers can't order it, that Fast Access  
7 piece, separately from Bell. They will just go to their ISP  
8 and say, just get BellSouth DSL. I know I qualify. You know,  
9 I got a solicitation from them in the mail or something, so get  
10 me DSL to this location.

11 COMMISSIONER DEASON: BellSouth tells the end use  
12 customer, call AOL and let them order the DSL for you?

13 THE WITNESS: In that case, I don't know if it would  
14 be BellSouth telling the customer, or the customer doing it on  
15 their initiative, or AOL telling the customer, but the customer  
16 would eventually have to get --

17 COMMISSIONER DEASON: Well, how does AOL get in the  
18 loop?

19 THE WITNESS: Well, in this case it could be, I am a  
20 dial-up guy; I've got AOL. I've had it for life; I love AOL.  
21 Now, I just found out I'm qualified for DSL. I got some sort  
22 of marketing literature, something -- you know, my buddy got  
23 it, my neighbor got it. If I called BellSouth, they would try  
24 to sell me the whole Fast Access thing where I'd have to, you  
25 know, change to the ISP, the BellSouth ISP. But I'd say, no, I

1 want to keep AOL, so then I'd have to call AOL and say, you  
2 guys, I know I'm qualified for DSL; now go get that BellSouth  
3 service into my house.

4 COMMISSIONER PALECKI: So what you are telling me is  
5 that the customer cannot get the DSL service from BellSouth  
6 directly. The DSL service is only being offered to the  
7 Internet provider, so the only way the customer can get the  
8 tariff DSL service is through an Internet provider.

9 THE WITNESS: Correct.

10 COMMISSIONER PALECKI: Thank you.

11 COMMISSIONER DEASON: And this service, this DSL  
12 service, wholesale service is tariffed at the FCC?

13 THE WITNESS: You know, I don't know. I think that  
14 it is. I don't know if it's a state -- I guess it's not state,  
15 so it would have to be federal. I know we just buy it out of  
16 a -- we go to their Web site and order it that way.

17 COMMISSIONER DEASON: Do you know how -- what the  
18 prices that are offered to customers if they buy the whole  
19 package from BellSouth, that being the pipe and the water, as  
20 opposed to if they just get their ISP to buy the pipe, how much  
21 their ISP is having to pay for the --

22 THE WITNESS: I know that -- yeah, there's a term in  
23 volume deal. Like, if you buy a whole bunch of Fast -- if you  
24 are an ISP and you commit to BellSouth that you are going to  
25 buy, you know, a thousand of these things a month, you get a

1 volume deal that could get you down as low as, say, \$30 a  
2 month. I think it's 32, and I'm not exactly sure, but  
3 somewhere around there. If you're a Regular Joe ISP and you  
4 don't have a big volume commitment, you are going to pay more,  
5 like, 35, 36 bucks for that Fast Access. BellSouth.net,  
6 though, offers it for 45 with the Internet included.

7 COMMISSIONER DEASON: Forty-five with the Internet  
8 included?

9 THE WITNESS: Yes.

10 COMMISSIONER DEASON: And you're saying the most  
11 attractive rate for high-volume purchasers, wholesale  
12 purchasers is around 32?

13 THE WITNESS: I believe it's approximately in that  
14 area, \$30 to \$32, yes.

15 COMMISSIONER DEASON: And you're talking about a \$13  
16 difference then, approximately.

17 THE WITNESS: Yes.

18 COMMISSIONER DEASON: Okay. Thank you.

19 BY MR. TURNER:

20 Q Mr. Gallagher, we're going to get into this resale  
21 stuff some more in a few minutes, but for now, let's go back to  
22 Exhibit Number 8. And let's just clarify, the DSLAM that's  
23 sitting there in the remote terminal; right? Let's assume for  
24 now that this is the way that BellSouth is providing both voice  
25 and data service to the end user, okay? BellSouth has put its

1 DSLAM in that remote terminal. Will you assume that with me?

2 A Yes.

3 Q The issue in this case is, FDN wants to use that  
4 DSLAM that BellSouth has purchased and installed in that remote  
5 terminal; right?

6 A Yes.

7 Q And FDN, you are not suggesting that you want to sit  
8 down and negotiate a commercial market rate for doing so;  
9 right? You are here asking this Commission to require  
10 BellSouth to provide you access to that DSLAM at TELRIC rates  
11 as a UNE. That's what you are asking; right?

12 A Yes.

13 Q Okay. We've talked about what BellSouth does to go  
14 and install the DSLAM. Let's look for a minute about what FDN  
15 can do to place a DSLAM in that remote terminal. Now, first of  
16 all, you will agree with me, won't you, that FDN can purchase a  
17 DSLAM from one of several vendors?

18 A Yes.

19 Q And FDN already has several quotes from stand-alone  
20 DSLAM providers, doesn't it?

21 A Yes.

22 Q In fact, you're even looking at buying DSLAMs from  
23 other carriers who have recently declared bankruptcy, aren't  
24 you?

25 A We have looked at the equipment.

1 Q So FDN is not having any problems finding vendors who  
2 are willing to sell FDN a DSLAM?

3 A Correct.

4 Q And based on your experience, FDN is getting  
5 competitive offers for the pricing of those DSLAMs; right?

6 A I hope.

7 Q Well, in your testimony, didn't -- or in your  
8 deposition, you told me that you thought you were getting  
9 competitive offers and competitive pricing for DSLAMs; right?

10 A Yes, yes.

11 Q And it's true, isn't it, that you filed -- well, I'm  
12 sorry, let's go back. Now, let's assume that you actually  
13 purchased a DSLAM from one of these vendors at these  
14 competitive prices, okay?

15 A Yes.

16 Q Now, you've got to put the DSLAM in the remote  
17 terminal; right?

18 A Yes.

19 Q And this is the collocation process that you were  
20 discussing with the Commission; right?

21 A Yes.

22 Q And in your testimony, your prefiled testimony, you  
23 say a lot of things about this collocation process. Let me ask  
24 you this. Isn't it true that you filed all that testimony  
25 before you read Mr. Williams' rebuttal testimony?



1 A Yes.

2 Q And it's true, isn't it, that FDN's never submitted  
3 an application to collocate a DSLAM at a single remote terminal  
4 in BellSouth's territory?

5 A That's correct.

6 Q Now, on Page 25 of your direct testimony, I'm going  
7 to look at Lines 3 through 6.

8 MR. FEIL: I'm sorry, could you repeat that, Counsel?

9 MR. TURNER: Yes, sir. It's Page 25.

10 MR. FEIL: Yes.

11 MR. TURNER: It's Lines 3 through 6.

12 BY MR. TURNER:

13 Q You state, "Furthermore, it's my understanding that  
14 in one of the few instances where a CLEC attempted to collocate  
15 a DSLAM at an ILEC remote terminal, cross-connection and  
16 construction issues remained unresolved for more than a year  
17 after the initial collocation request was made;" right?

18 A Yes.

19 Q And you will agree with me, won't you, that you don't  
20 know the ILEC who was involved?

21 A I do now.

22 Q But you didn't at your deposition?

23 A Right, I forgot.

24 Q Well, in your deposition, you didn't tell me you  
25 forgot, did you?

1           A     No. I said that I don't remember who -- I don't know  
2 exactly what I said. What did I say?

3           Q     Well, in the deposition, and I've got the transcript  
4 if we need to look at it, but in the deposition, didn't you  
5 tell us that those were rumors that you could not substantiate?

6           A     Right.

7           Q     Okay.

8           A     But I've since investigated it, and I understand it  
9 now.

10          Q     Well, I asked you earlier, though, if you had  
11 anything -- if your answers would be different. I'm assuming  
12 you're now telling me your answer would be different.

13          A     My answers to the deposition, you mean?

14          Q     Well, you are saying that they are no longer based on  
15 unsubstantiated rumors?

16          A     I'm just saying that after you clarified that with  
17 me, I went back and, you know, I was interested in exactly the  
18 case, and I have since researched it.

19          Q     And did your research indicate that that ILEC was  
20 BellSouth?

21          A     No.

22          Q     Did this instance that you talk about occur in  
23 BellSouth's territory?

24          A     No, it did not.

25          Q     Did the ILEC that was involved in this instance have

1 policies on collocation that are similar to what Mr. Williams  
2 testifies to in his testimony?

3 A I'm unfamiliar with what their policy is.

4 Q So their policy may have been something totally  
5 different than what BellSouth's policy is; right?

6 A That's correct.

7 Q You testified in your summary that there are 12,000  
8 or so remote terminals in BellSouth's territory; right?

9 A Correct.

10 Q You will agree with me, though, won't you, that  
11 BellSouth has not collocated a DSLAM in each of those 12,000  
12 remote terminals; right?

13 A Not yet, no.

14 Q Well, based on BellSouth's discovery responses, can  
15 you tell me how many remote terminals BellSouth thinks it will  
16 have installed a remote -- a DSLAM in by the end of this year?

17 A It's my understanding that you-all have about 3,700  
18 in now, and you estimate being around 4,000 by the end of the  
19 year.

20 Q Okay. And we can agree, can't we, that most of those  
21 DSLAMs have been installed by BellSouth in the past couple of  
22 years?

23 A Yes.

24 COMMISSIONER DEASON: Counsel, when you get to a good  
25 breaking point, let me know, and we'll take a recess.

1 MR. TURNER: Now is probably a good time.

2 COMMISSIONER DEASON: Very well. We will take a  
3 15-minute recess.

4 (Brief recess.)

5 COMMISSIONER DEASON: Go back on the record.

6 BY MR. TURNER:

7 Q Mr. Gallagher, I don't think we have too very much  
8 left. We sort of walked through what it would take for FDN to  
9 buy a DSLAM. We sort of walked through the collocation aspect  
10 of things. Now, assume with me that FDN has bought a DSLAM and  
11 has installed the DSLAM in a BellSouth remote terminal, okay?

12 A Uh-huh, yes.

13 Q Now, once you have the DSLAM in a remote terminal,  
14 BellSouth will sell you a UNE subloop between the remote  
15 terminal and the customer premises; right?

16 A Yes.

17 Q And BellSouth also will sell you a UNE subloop from  
18 the remote terminal back to the CO; right?

19 A Yes.

20 Q Tell me if I'm wrong, but did I hear you testify that  
21 the -- well, hold on a second, I want to make sure I've got  
22 this right -- that a DS-3 subloop would cost FDN around \$1,500  
23 a month?

24 A Yes. I estimated that per our current arrangement  
25 with you-all where we buy UNE DS-3s, that it would be about

1 that much.

2 Q Do you still have Exhibit Number 5 up there with you?

3 A Yes, I think.

4 Q Go with me to Item Number 56.

5 A Okay.

6 Q One of the things that FDN asked is, identify these  
7 UNEs and the respective rates and charges; right?

8 A Yes.

9 Q Go with me to the second -- it's Page 2 of 3 of the  
10 response to Item Number 56. The number on the bottom of the  
11 page that was typewritten is 7, and there's a Bates stamp  
12 number 08.

13 A Right.

14 Q Do you see the DS-3 facility termination charge down  
15 there?

16 A Yes.

17 Q The recurring charge on that is \$347.59; right?

18 A Yes.

19 Q And then you've got a per mile charge of about \$15;  
20 right?

21 A Right.

22 Q That's going to be a pretty long loop to get you up  
23 to \$1,500 a month, isn't it?

24 A Do you think that we only need one facility  
25 termination?

1 Q Well, I'm saying per facility termination, it's going  
2 to have to be a big, long loop to get you up to \$1,500 a month;  
3 right?

4 A Well, in a circuit like this, when you order a UNE  
5 like this, are you telling me that I only need one facility  
6 termination?

7 Q Sir, I'm just asking you that if you've got one  
8 facility termination, that's going to be one heck of a long  
9 loop to get you up to 1,500 a month recurring; right?

10 A If you only charge me one facility termination, but  
11 you don't. You charge one on each end. So it's double that  
12 number to get started, so it's 347.59 times 2. That's how we  
13 buy UNEs right now, it's my understanding.

14 Q So that's \$700; right?

15 A Plus \$3,386 times 2.

16 Q But that's a nonrecurring charge.

17 A Right, but that's still six grand.

18 Q I was talking about recurring now, your \$1,500 a  
19 month.

20 A Right.

21 Q And you'll agree with me that this is a UNE rate;  
22 right?

23 A Right.

24 Q And there are other UNE rates available for FDN to  
25 choose from?

1 A Right.

2 Q FDN recently participated in the generic UNE docket  
3 in which UNE rates were established; right?

4 A Right.

5 Q So we can agree, won't we, that BellSouth is going to  
6 provide these UNEs that were established by this Commission at  
7 the rates established by the Commission; right?

8 A Right.

9 Q And if FDN was wanting different UNEs or different  
10 rates during the generic docket, it had an opportunity to ask  
11 for different rates; right?

12 A Right.

13 Q Okay. While you've got Exhibit 5 in front of you,  
14 and again, I know you were going from memory, but let's go  
15 ahead and get the right stuff in the record. I asked you how  
16 many remote terminals you anticipated BellSouth having  
17 installed DSLAM in by the end of the year.

18 A Yes, sir.

19 Q I believe you gave me a number around the \$4,000, I  
20 mean, the 4,000 mark. Go with me to BellSouth's response to  
21 Item Number 63. It's in that same Exhibit 5. The page number  
22 at the bottom middle is 15, and the Bates stamp number is 16.  
23 Let me know when you get there.

24 A Okay.

25 Q Doesn't BellSouth's response say that BellSouth

1 currently plans to have deployed DSLAM equipment in a total of  
2 3,249 remote terminals in Florida by the end of 2001?

3 A Yes, sir. I was incorrect with my 3,700 estimate.

4 Q And that's fine. I just wanted to make sure. This  
5 is the number you meant to refer to; right?

6 A Yes, sir.

7 Q Okay. Thank you. I want to clarify one thing on  
8 your resale request to the Commission. I will admit I'm  
9 confused as to which product FDN is wanting to resell. Is it  
10 wanting to resell the Internet service that BellSouth provides  
11 to its Internet service end users? In other words, the pipe  
12 and the water. Or does FDN only want to resell the pipe  
13 itself, the DSL telecommunications transport?

14 A The pipe.

15 Q Okay. So you are not asking the Commission to allow  
16 FDN to resell the Internet service as a package; right?

17 A Correct.

18 Q Okay.

19 COMMISSIONER PALECKI: Let me ask one question on  
20 that. I realize you are not asking the Commission to sell the  
21 Internet service as well. Would you be willing through an  
22 agreement with BellSouth to sell both the pipe and the water?  
23 Because I thought that's what you had told me earlier, that you  
24 would love to be able to sell the, was it called Fast Net or  
25 whatever the name is?



1 THE WITNESS: Yes, sir. What I would rather sell are  
2 the pipes. That's what I meant to -- you know, I  
3 miscommunicated. I'd want to sell those pipes. I'm sure I  
4 already got my own water company built, so --

5 COMMISSIONER PALECKI: You want to sell the DSL  
6 service without the Internet service attached to it?

7 THE WITNESS: Yes, sir.

8 BY MR. TURNER:

9 Q Okay. The -- I hope, my final line of questioning.  
10 Go back with me to -- what we have marked as Exhibit 8. And  
11 again, this is the scenario where you have fiber from the  
12 central office to the remote terminal and copper from the  
13 remote terminal to the end user, okay?

14 A Yes.

15 Q All right. And assume with me for the purpose of  
16 this first group of questions that, again, this is an existing  
17 remote terminal with an existing BellSouth DSLAM in it, okay?

18 A Uh-huh, yes.

19 Q And assume with me that the Commission were to grant  
20 you access to that DSLAM as a UNE, okay?

21 A Yes.

22 Q And assume with me that once that was granted, that  
23 FDN went in, used that UNE access to the DSLAM and started  
24 providing voice and data services to customers served from that  
25 remote terminal, okay?

1 A Yes.

2 Q Okay. Under that scenario, it's true, isn't it, that  
3 you would only be able to provide that service to folks who  
4 already could get voice and data from BellSouth on the same  
5 line; right?

6 A Yes, who theoretically could get it. They may not  
7 know of it or may not have been marketed.

8 Q And the point is, by doing that, you are not  
9 expanding the universe of end users who are able to get voice  
10 and data over the same line; right?

11 A I'm not expanding the universe of -- could you  
12 rephrase it?

13 Q Yeah. In other words, again, the people who could  
14 get voice and data over the same line from FDN under that  
15 scenario --

16 A Right.

17 Q -- are the people who already could get voice and  
18 data over the same line from BellSouth; right?

19 A Right.

20 Q Now, assume with me that FDN instead of -- the  
21 Commission did not order the relief you request. Instead, FDN  
22 is going to have to place its own DSLAM in the remote terminal  
23 if it wants to provide voice and data over the same line in  
24 this fiber fed copper loop scenario, okay?

25 A Okay.

1 Q And let's assume that FDN finds a remote terminal  
2 that BellSouth has not collocated a DSLAM in, okay?

3 A Okay.

4 Q Today, BellSouth cannot provide voice and data over  
5 the same loop to a single customer, right, out of that remote  
6 terminal because there's no DSLAM in it?

7 A Right.

8 Q Assume with me that FDN puts its DSLAM in that remote  
9 terminal tomorrow, okay?

10 A Okay.

11 Q Tomorrow, customers who today couldn't get voice and  
12 data over the same line could then get voice and data over the  
13 same line from FDN; right?

14 A Right. They could be voice customers already, but  
15 they would now be voice and data.

16 Q Now, let's say that FDN did exactly that. It placed  
17 a DSLAM in a remote terminal where BellSouth did not have one,  
18 and FDN started providing voice and data to end users served  
19 from that remote terminal, okay?

20 A Right.

21 Q Would FDN be willing to provide access to that DSLAM  
22 to other carriers like BellSouth or other ALECs at the same  
23 TELRIC rates that you are asking this Commission to require  
24 BellSouth to charge you for that access?

25 A If we prevail in this case and get the TELRIC -- you

1 know, get what we are asking for, I don't see why we wouldn't  
2 consider that.

3 Q Well, I'm not really asking if you'd consider that,  
4 because during your deposition, you told me you would have to  
5 run some financial numbers; right?

6 A Right.

7 Q And you would have to determine whether it was  
8 financially more viable for FDN to provide that wholesale or  
9 just to provide retail only; right?

10 A Right.

11 Q So you are not committing to this Commission that FDN  
12 would in every scenario be willing to provide TELRIC-based  
13 access to a DSLAM that it placed in a remote terminal, are you?

14 A No.

15 Q But you're asking this Commission to order BellSouth  
16 to provide FDN and other ALECs TELRIC-based access to a DSLAM  
17 that BellSouth puts in a remote terminal, aren't you?

18 A Right.

19 MR. TURNER: Commissioner Deason, thank you. I have  
20 nothing further.

21 COMMISSIONER DEASON: Thank you. Staff.

22 MS. BANKS: Staff just has a few questions.

23 CROSS EXAMINATION

24 BY MS. BANKS:

25 Q Good morning, Mr. Gallagher.

1 A Good morning.

2 Q I'm Felicia Banks, and I have just a few questions to  
3 ask you on behalf of the Commission Staff. There were some  
4 discussion earlier regarding end users' ability to purchase  
5 DSL. Do you recall that?

6 A Yes.

7 Q Okay. In your opinion, or from your experience, when  
8 an end user purchases BellSouth Fast Access or the FDN version  
9 of DSL, is the customer requesting a specific Internet content  
10 service, or are they requesting the DSL service?

11 A In my experience, customers, once they get into the I  
12 want DSL mind-set, they want DSL, you know, and that's what  
13 their primary focus is.

14 Q Okay. So the customer requests, as you just  
15 indicated, DSL and basically they take whatever the Internet  
16 content service that goes along with it?

17 A You know, unless they are very, very loyal to a  
18 particular ISP, I would think in most cases they -- you know,  
19 to get the DSL they would take whatever content goes with it,  
20 yes. I believe that sort of leads -- that's the dog, and the  
21 tail is the content.

22 Q Okay. Changing just a little bit on focus. In the  
23 opening statements, Mr. Feil mentioned that efforts had been  
24 made to settle this one remaining issue; is that correct?

25 A That's correct.

1 Q Okay. Did FDN propose a particular resolution to  
2 BellSouth?

3 A Yes, we did.

4 Q Okay. Can you just briefly describe what FDN's  
5 proposal was?

6 A Am I allowed to do that?

7 COMMISSIONER DEASON: Excuse me. I'm not sure  
8 that -- that's probably confidential negotiations, and I'm not  
9 sure that that's really appropriate to be aired in a public  
10 setting.

11 MS. BANKS: That's fine.

12 COMMISSIONER DEASON: It could undermine future  
13 negotiations, and we don't want to do that.

14 MS. BANKS: Okay. That's fine. Thank you,  
15 Mr. Gallagher.

16 THE WITNESS: Thank you, Felicia.

17 COMMISSIONER DEASON: Okay. Commissioners, any  
18 further questions?

19 COMMISSIONER JABER: No.

20 COMMISSIONER PALECKI: No.

21 COMMISSIONER DEASON: Redirect.

22 MR. FEIL: Thank you.

23 REDIRECT EXAMINATION

24 BY MR. FEIL:

25 Q Just a few questions, Mr. Gallagher. Earlier during

1 your -- the summary that turned out to be a relatively long  
2 colloquy, you were talking about cards that one would plug into  
3 the DSLAM and the pricing of those cards. Could you describe  
4 the pricing of the cards a little bit more fully, please.

5 A Yes. When I have done an analysis on the --

6 MR. TURNER: I'm sorry, I turned it off and thought I  
7 turned it on. I believe that goes well beyond the scope of  
8 anything --

9 COMMISSIONER DEASON: It goes beyond the scope, but  
10 it is response to a question that I asked, and this is  
11 something I have an interest in, so I will allow the question.

12 A When I did research on the DSLAMs, I came about with  
13 a rough cost of roughly \$20,000 for the chassis and the common  
14 cards and the power supply and whatnot. Then each 24-port  
15 blade was around \$7,000. So if you look at it, you know, the  
16 first 24 ports are going to cost you the cost of the \$20,000  
17 plus the \$7,000 port card, but then as you keep adding  
18 subscribers, your marginal cost of capital is cheaper and  
19 cheaper and cheaper because you've already got the base common  
20 cards and equipment. So when I say "fairly cheap" to add  
21 subscribers, that's what I mean. It's less capital cost per  
22 incremental user.

23 COMMISSIONER PALECKI: I thought we had heard  
24 testimony that there was used equipment that might be available  
25 from failing DSL providers that have gone bankrupt. What kind

1 of prices have you received in your negotiations for used  
2 equipment?

3 THE WITNESS: I have not successfully engaged in that  
4 process yet. We have looked at some. We have not had luck in  
5 entering into the negotiations with anybody, but I intend to.

6 COMMISSIONER PALECKI: Thank you.

7 COMMISSIONER DEASON: Let me ask a question. I think  
8 earlier you had indicated that a 48-port DSLAM was about  
9 \$52,000, but if you take the \$20,000 for the chassis plus  
10 \$7,000 per 24-port capability, that according to my calculation  
11 then would be 20,000 plus 7,000 plus 7,000 or \$34,000.

12 THE WITNESS: Right. Then I add another roughly  
13 \$7,000 to \$8,000 of engineering and installation costs, and  
14 then I add \$15,000 of space prep collocation charges, and then  
15 I add another \$3,000 of collo app because it's my understanding  
16 it costs \$3,000 to, you know, do the collocation application.  
17 That's what my people have told me based on the information we  
18 have. I know that I was told that's a different number. I  
19 haven't seen that new number. That's where I get that 52.

20 COMMISSIONER JABER: To the degree, though, that the  
21 discovery response is correct and the testimony collaborates  
22 that, you would agree that the estimate should be adjusted to  
23 reflect that?

24 THE WITNESS: Yes.

25 BY MR. FEIL:



1 Q While Mr. Gallagher is on the subject, do you know  
2 whether or not the BellSouth negotiator told you about the  
3 application fee for remote terminals?

4 A No, I have not been told that.

5 Q Do you know whether or not the collocation attachment  
6 to the interconnection agreement which was attached to the  
7 petition in this case reflects a lower collocation rate for  
8 remote terminals?

9 A No, I do not.

10 Q I believe Commissioner Palecki or maybe it was  
11 Commissioner Jaber were asking you questions regarding  
12 targeting specific remotes for the installation of DSLAMs, and  
13 I believe your testimony was that BellSouth had, in your view,  
14 probably already hit the remotes from which you can get the  
15 most customers with a DSLAM of their own. If you targeted  
16 specific remotes for collocating your DSLAM, would you have the  
17 ubiquity of service that you have for voice service?

18 A No.

19 Q Would it be practical for you to target just a few  
20 remotes? Why or why not?

21 A It would be difficult from the marketing side. It  
22 would probably, you know, make sense from the engineering and  
23 network side, but from the marketing side, if you were only  
24 going to do several, then you would have to have a more  
25 surgical marketing arm. And I don't know -- I haven't quite

1 figured out how I would do that on a cost-effective basis.

2 COMMISSIONER DEASON: Well, let me ask you this.

3 Apparently, BellSouth has -- they have installed DSLAMs,

4 depending on which numbers, somewhere, 3,400 to 3,700,

5 somewhere -- less than 4,000 at this point.

6 THE WITNESS: 3,200 I think is the number.

7 COMMISSIONER DEASON: 3,200 out of 12,000 remote  
8 terminals. Do they have to surgically market their services,  
9 or have they -- do they have a large enough footprint within  
10 certain metropolitan areas that they can market within a  
11 general metropolitan area?

12 THE WITNESS: It's my understanding that they go to a  
13 general metropolitan area and try to blanket that first and  
14 then market that, and they also make available via their Web  
15 site. You know, they have a pretty neat tool where you can put  
16 in the phone number, and it spits back right away whether the  
17 line is qualified. So that's sort of how it's done. And  
18 that's -- our BellSouth representatives that we talk to when we  
19 order the Fast Access service, they sort of tell us, hey, we're  
20 going to do Jacksonville, and we're going to get that city up  
21 and mostly done, and then we're going to move to Orlando or  
22 whatever, and then go on to their --

23 COMMISSIONER DEASON: Mr. Turner, do you have a  
24 witness that could describe BellSouth's marketing, or is that  
25 outside the scope of -- it's outside the scope?

1 MR. TURNER: I believe it's outside the scope,  
2 Commissioner Deason.

3 COMMISSIONER DEASON: Okay.

4 THE WITNESS: I would just like to add to that real  
5 quickly. There is almost nobody left providing DSL, so the  
6 pressure is off sort of on the marketing side of it. I would  
7 argue that, you know, it's -- everybody is dying at the rate  
8 they're dying. If you are maybe the one guy standing, you can  
9 sort of upgrade at your leisure because you know you are going  
10 to get 90 percent market share.

11 BY MR. FEIL:

12 Q On that related subject, Mr. Gallagher, could you  
13 compare the risked capital that BellSouth experiences versus  
14 FDN experiences when it comes to installation of DSLAM and  
15 provisioned DSL service?

16 A I would just imagine my business model would have a  
17 lower take rate because I have a lower, you know, market -- I  
18 have less customers. So I would have to project a lower take  
19 rate, and therefore, my risk on the investment is going to be  
20 much higher.

21 Q Do you know whether or not FDN is an ILEC with  
22 unbundling obligations under the Telecom Act?

23 A I don't think that we are.

24 MR. FEIL: Can I have a moment?

25 COMMISSIONER PALECKI: Let me ask a question. Is

1 your primary motivation here to be able to sell DSL service, or  
2 is it to be able to continue to serve voice customers if they  
3 want DSL service from BellSouth or any other provider?

4 THE WITNESS: I would have to prioritize that. I  
5 want both, but I have to have the latter, what you said. I  
6 have got to get it to where I can still sell my voice because  
7 that's my core business, and I'm being blocked out because  
8 there's more BellSouth DSL customers.

9 COMMISSIONER PALECKI: So if you could get everything  
10 you wanted, you'd get the ability to provide the DSL service  
11 without having to install the DSLAMs in each remote location?

12 THE WITNESS: Yes.

13 COMMISSIONER PALECKI: As well as the ability to  
14 continue to serve your voice customers whether or not they have  
15 BellSouth DSL service, which I think you told me accounted for  
16 a very, very high percentage of all DSL service.

17 THE WITNESS: That's exactly what I would like, yes.

18 COMMISSIONER PALECKI: And you are more concerned  
19 about losing your voice customers, but you would also like to  
20 get the ability to provide DSL through BellSouth's system.

21 THE WITNESS: That's exactly right.

22 COMMISSIONER JABER: How much of that is because --  
23 to be able for your company to have venture capital and to do  
24 well in the technology market, how much of that is a reliance  
25 on DSL? It's my understanding that Wall Street and some of the

1 venture capitalists have an expectation that these new  
2 companies will be able to provide DSL.

3 THE WITNESS: On Wall Street they are expecting me to  
4 have the bundle for the small business: Local, long distance,  
5 and Internet product. That's what they're expecting. If they  
6 see me blocked off in any way from any one of those three  
7 things, I've got a fund raising problem. That's why I need  
8 what I need. I mean, we just pulled off a fund raising. I  
9 don't know how we did it, but, you know, we just raised a bunch  
10 of money in, you know, absolute nuclear winter of CLEC  
11 financing. And it was because we have decent traction. We're  
12 getting lots of customers. We're getting facilities-based, no  
13 resale. Wall Street hates resale and even UNE-P, for that  
14 matter. They don't see it as a viable business model. So we  
15 keep using these UNE copper -- you-all lowering the UNE copper  
16 rates helped. So we raised the money. But we're going to need  
17 to go back and get more at some point, and we're going to need  
18 to be able to sell the bundle.

19 MR. FEIL: Nothing further.

20 COMMISSIONER DEASON: Mr. Turner, we raised some  
21 questions from the bench during the redirect phase. Is there  
22 anything you need to follow up on?

23 MR. TURNER: Just one.

24 RECROSS EXAMINATION

25 BY MR. TURNER:

1 Q Mr. Gallagher, there's been references about there's  
2 no one -- or you've suggest that there is relatively no one  
3 other than BellSouth who can provide DSL service; right?

4 A Yes.

5 Q Let me ask you this. My neighbor, and granted,  
6 that's in Atlanta, not here, but my neighbor has this service  
7 where his cable modem is hooked to his computer, and he gets  
8 real fast Internet access. Are you aware of that kind of  
9 technology?

10 A Yes.

11 Q Now, you don't consider that DSL technology, do you?

12 A Right. No, it's not.

13 Q So when you were saying that there's no DSL  
14 competition in Florida, you're talking about specifically over  
15 this DSL type telecommunications facility BellSouth provides;  
16 right?

17 A I'm talking about DSL as a technology.

18 Q You weren't talking about high-speed Internet access  
19 in general, were you?

20 A For businesses, I was. For residential, I was not.

21 Q So you will agree with me that there are cable  
22 companies in particular from whom customers can go and get  
23 high-speed Internet access; right?

24 A Mostly residential customers; correct.

25 Q And by "mostly," I assume you will agree with me

1 there are some business customers who can get the cable type  
2 Internet access?

3 A I believe there is a small amount of business  
4 customers that can get cable, yes.

5 MR. TURNER: That was all. Thank you.

6 COMMISSIONER DEASON: Further redirect.

7 FURTHER REDIRECT EXAMINATION

8 BY MR. FEIL:

9 Q Mr. Gallagher, does cable generally support only  
10 one-way service, not two-way telecommunications that telephony  
11 requires?

12 A For voice, yes.

13 Q I meant for Internet access services -- well, the  
14 pipe, the cable service pipe.

15 A It is -- I believe it's two-way if it's been  
16 upgraded, but it's more of a bus fashion versus an individual  
17 private home run as in DSL.

18 MR. FEIL: That's all.

19 COMMISSIONER DEASON: Thank you. Exhibits. I  
20 believe prefiled Exhibit MPG-1 was identified as Exhibit 6.

21 MR. FEIL: And FDN moves that into the record.

22 COMMISSIONER DEASON: Okay. Without objection,  
23 hearing no objection, show Exhibit 6 as admitted.

24 (Exhibit 6 admitted into the record.)

25 MR. TURNER: Commissioner Deason, we would also move

1 7 and 8, please.

2 COMMISSIONER DEASON: Without objection, hearing no  
3 objection, show then Exhibits 7 and 8 are also admitted.

4 (Exhibits 7 and 8 admitted into the record.)

5 COMMISSIONER DEASON: Thank you, Mr. Gallagher.

6 THE WITNESS: Thank you.

7 (Witness excused.)

8 COMMISSIONER DEASON: We will take a recess for  
9 lunch, and we will reconvene at 1:15.

10 (Lunch recess.)

11 (Transcript continues in sequence with Volume 2.)

12 - - - - -

13

14

15

16

17

18

19

20

21

22

23

24

25




1 STATE OF FLORIDA     )  
2                             :             CERTIFICATE OF REPORTER  
3 COUNTY OF LEON        )

4  
5         I, TRICIA DeMARTE, Official Commission Reporter, do hereby  
6 certify that the foregoing proceeding was heard at the time and  
7 place herein stated.

8         IT IS FURTHER CERTIFIED that I stenographically  
9 reported the said proceedings; that the same has been  
10 transcribed under my direct supervision; and that this  
11 transcript constitutes a true transcription of my notes of said  
12 proceedings.

13         I FURTHER CERTIFY that I am not a relative, employee,  
14 attorney or counsel of any of the parties, nor am I a relative  
15 or employee of any of the parties' attorneys or counsel  
16 connected with the action, nor am I financially interested in  
17 the action.

18             DATED THIS 24th DAY OF AUGUST, 2001.

19  
20  
21  
22  
23  
24  
25  


TRICIA DeMARTE  
FPSC Official Commission Reporter  
(850) 413-6736