

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 010949-EI


In the Matter of

REQUEST FOR RATE INCREASE BY  
GULF POWER COMPANY.

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY

VOLUME 5

Pages 392 through 487



PROCEEDINGS:

HEARING

BEFORE:

CHAIRMAN LILA A. JABER  
COMMISSIONER J. TERRY DEASON  
COMMISSIONER BRAULIO L. BAEZ  
COMMISSIONER MICHAEL A. PALECKI  
COMMISSIONER RUDOLPH "RUDY" BRADLEY

DATE:

Monday, February 25, 2002

TIME:

Commenced at 9:30 a.m.

PLACE:

Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY:

TRICIA DeMARTE  
Official FPSC Reporter  
(850) 413-6736

APPEARANCES:

(As heretofore noted.)

DOCUMENT NUMBER-DATE

02252 FEB 26 02

FPSC-COMMISSION CLERK

## I N D E X

## WITNESSES

	NAME:	PAGE NO.
1		
2		
3		
4		
5	ROBERT G. MOORE	
6	Direct Examination by Mr. Melson	395
7	Prefiled Direct Testimony Inserted	397
8	Cross Examination by Mr. Burgess	419
9		
10		
11		
12	FRANCIS M. FISHER, JR.	
13	Direct Examination by Mr. Stone	427
14	Prefiled Direct Testimony Inserted	431
15	Cross Examination by Mr. Burgess	460
16	Cross Examination by Mr. Harris	466
17		
18		
19	CERTIFICATE OF REPORTER	487
20		
21		
22		
23		
24		
25		

EXHIBITS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NUMBER:

32 RGM-1  
33 FMF-1

ID. ADMTD.  
396 427  
430

## P R O C E E D I N G S

(Transcript follows in sequence from Volume 4.)

CHAIRMAN JABER: Whenever he's ready, Mr. Melson.

MR. MELSON: Sure.

ROBERT G. MOORE

was called as a witness on behalf of Gulf Power Company and, having been duly sworn, testified as follows:

## D I R E C T E X A M I N A T I O N

BY MR. MELSON:

Q Mr. Moore, you were sworn this morning?

A Yes, sir, I was.

Q Would you please state your name and address for the record, please.

A Robert G. Moore, One Energy Place, Pensacola, Florida.

Q And by whom are you employed and in what capacity?

A I'm employed by Gulf Power. I'm the vice president of generation and transmission.

Q Have you prefiled direct testimony in this docket consisting of 20 pages?

A Yes, I did.

Q Do you have any changes or corrections to that testimony?

A No, sir, I do not.

Q If I were to ask you the same questions today, would

1 your answers be the same?

2 A Yes, sir, they would.

3 MR. MELSON: Chairman, I'd ask that Mr. Moore's  
4 direct testimony be inserted into the record as though read.

5 CHAIRMAN JABER: The prefiled direct testimony of  
6 R. G. Moore shall be inserted into the record as though read.

7 BY MR. MELSON:

8 Q Mr. Moore, you had attached to your testimony one  
9 exhibit identified as RGM-1 and consisting of 11 schedules; is  
10 that correct?

11 A Yes, sir, it is.

12 Q And as indicated on Schedule 11 of that exhibit,  
13 you're sponsoring certain portions of the company's MFRs; is  
14 that correct?

15 A That's correct, yes.

16 Q Do you have any changes or corrections to your  
17 exhibit?

18 A No, sir, I do not.

19 MR. MELSON: I'd ask that Exhibit RGM-1 be identified  
20 as Exhibit 32.

21 CHAIRMAN JABER: RGM-1 is identified as Exhibit 32.  
22 (Exhibit 32 marked for identification.)

23

24

25

1 GULF POWER COMPANY  
2 Before the Florida Public Service Commission  
3 Prepared Direct Testimony and Exhibit of  
4 Robert G. Moore  
5 Docket No. 010949-EI  
6 In Support of Rate Relief  
7 Date of Filing: September 10, 2001

8 Q. Please state your name, business address, and occupation.

9 A. My name is Robert G. Moore and my business address is One Energy  
10 Place, Pensacola, Florida 32520. I am Vice President of Power  
11 Generation and Transmission at Gulf Power Company.

12 Q. Please summarize your educational and professional background.

13 A. I graduated from the University of Alabama in 1973 with a Bachelor of  
14 Science Degree in Mechanical Engineering. I joined Alabama Power  
15 Company in 1973 as a junior engineer at Plant Barry in Mobile, Alabama.  
16 In 1978, I transferred to Mississippi Power Company where I held various  
17 positions of increasing responsibility including Plant Manager – Plant  
18 Daniel, and Plant Manager – Plant Watson. I transferred to Georgia  
19 Power Company in 1993 as Plant Manager – Plant Bowen.  
20 In 1997, I was elected to my present position as Vice President of Gulf  
21 Power Company.

22 Q. What are your areas of responsibility within Gulf Power Company?

23 A. I have responsibility for the Power Generation, Fuel, Environmental  
24 Affairs, Procurement and Materials, and Transmission and System  
25 Control functions at Gulf Power Company. This includes the generation

1 and transmission of electricity, fuel supply, environmental services,  
2 intercompany interchange contract administration, and procurement of  
3 materials and contract services.

4  
5 Q. Have you prepared an exhibit that contains information to which you will  
6 refer in your testimony?

7 A. Yes. Schedule 1 is an index to the other schedules in my exhibit. Each  
8 schedule of this exhibit was prepared under my supervision and direction.

9 Counsel: We ask that Mr. Moore's Exhibit (RGM-1), comprised  
10 of 11 schedules, be marked for identification as  
11 Exhibit \_\_\_\_ (RGM-1)

12  
13 Q. Are you the sponsor of certain Minimum Filing Requirements (MFRs)?

14 A. Yes. The MFRs that I am sponsoring, in part or in whole, are listed on  
15 Schedule 11 of my exhibit.

16  
17 Q. What is the purpose of your testimony in this proceeding?

18 A. I will present evidence related to Smith Unit 3, the Company's new  
19 combined cycle 574 megawatt generating unit scheduled to go into  
20 commercial operation on or before June 1, 2002, other production  
21 Operation and Maintenance (O & M) expenses, and construction projects  
22 included in our test year to show that the amounts budgeted for these  
23 items are reasonable, prudent and necessary. I will address: (1) the  
24 capital and O & M requirements of Smith Unit 3, (2) the need for  
25 additional O & M dollars to maintain our existing fleet of generating units,

1 (3) the variance between the O & M Benchmark and the test year for  
2 production, (4) the construction budget for power production, and (5) the  
3 projected fuel inventory included in working capital.  
4

5 Q. What are the capital additions to rate base for Smith Unit 3?

6 A. The Smith Unit 3 project is budgeted at \$220.5 million. This includes  
7 project design, site preparation, environmental mitigation, generating  
8 equipment, start-up costs, taxes, and Allowance for Funds Used During  
9 Construction. Schedule 2 of my exhibit is the budget breakdown of the  
10 Smith Unit 3 construction costs.

11 Gulf's load and energy forecast identified a capacity need  
12 beginning in the summer of 2002 to serve our customers and maintain an  
13 adequate level of generating reserves. Previous market inquiries  
14 confirmed that the amount of firm capacity in the market was becoming  
15 scarce and more expensive. Gulf knew that it needed to re-evaluate its  
16 capacity resource alternatives to meet the Company's needs for 2002 and  
17 beyond. Commission Order No. PSC-99-1478-FOF-EI confirmed the  
18 need for the addition of Smith Unit 3.  
19

20 Q. What is the impact on Gulf's production O & M expenses associated with  
21 Smith Unit 3?

22 A. The O & M budget for Smith Unit 3 is \$3.4 million in the test year.  
23 Schedule 3 of my exhibit provides a summary of the operation and  
24 maintenance expenses for Smith Unit 3. The \$1.7 million for labor  
25 includes an increased staff at Plant Smith of 29 full-time positions needed



1 to operate and maintain the new unit. Schedule 4 of my exhibit provides a  
2 detailed listing of the additional personnel complement associated with  
3 Smith Unit 3. The additional \$1.6 million is needed to cover contract  
4 maintenance labor, including the Long Term Service Agreement (LTSA),  
5 and spare parts.

6  
7 Q. Why did Gulf decide to contract with the equipment manufacturer for the  
8 long-term service of Smith Unit 3?

9 A. The LTSA with the equipment manufacturer allows Gulf access to an  
10 experienced group of technical experts with knowledge regarding the  
11 specifics of this state of the art generating equipment which is new  
12 technology for Gulf. The LTSA enables Gulf to reduce the number of  
13 additional full-time maintenance personnel and to hire a minimal staff to  
14 operate and maintain the unit. Furthermore, the LTSA provides Gulf with  
15 access to a ready supply of discounted parts for all major outages. The  
16 customers benefit from the LTSA through reduced costs of staffing,  
17 discounts on major parts, and reduced carrying costs on inventory.

18  
19 Q. Please explain the need for additional O & M dollars to maintain Gulf's  
20 existing fleet of generating units.

21 A. In addition to Smith Unit 3, the other major factors contributing to the  
22 higher O & M expenses are increased planned outage costs and other  
23 increased maintenance costs applicable to Gulf's existing fleet of  
24 generating units. The total production costs in the test year are  
25 \$83.7 million of which the O & M for Smith Unit 3 is \$3.4 million.

1           Since Gulf's last rate case in 1990, our generating units have aged  
2 significantly and have been required to produce more electricity on an  
3 annual basis. Generating plants contain a large amount of rotating  
4 equipment. This equipment is subject to extremely high stresses due to  
5 the high temperatures and pressures at which they operate. Gulf's  
6 customers enjoy significant advantages over customers of other electric  
7 utilities in that we have chosen coal, a plentiful low-cost fuel, for Gulf's  
8 generating plants. However, coal is highly abrasive in nature and causes  
9 much more wear on generating plant components than gas or oil, thereby  
10 increasing maintenance costs. During the last 12 years, we have worked  
11 hard to maintain these units so that they have continued to provide  
12 reliable, low cost service to our customers. The fact that our rates are  
13 among the lowest in the nation is a testament to the value we provide our  
14 customers.

15           We are now at the point where we must spend additional money on  
16 these units so that they continue to provide this reliable, low cost energy  
17 into the future. The requested amount in the test year, which includes  
18 production A & G and production O & M, is essential to effectively  
19 operate, maintain and support Gulf's entire generating fleet.

20  
21 Q.   Please explain the increase in total production cost from the 2000  
22 historical year to the test year.

23 A.   As shown in Mr. Saxon's Schedule 3, the total increase in production from  
24 2000 is \$10.4 million. Of that total, \$3.1 million is associated with  
25 increased planned outages and \$3.4 million are expenses associated with

1 Smith Unit 3. The remaining \$3.9 million in production cost is necessary  
2 for Gulf to continue to effectively maintain our generating fleet in a manner  
3 that maximizes our equipment and unit availability while maintaining the  
4 lowest cost to our customers. These units are 11 years older than in our  
5 last rate case; the newest went into commercial operation in 1981. These  
6 increased maintenance costs are directly related to the age of the units,  
7 coupled with the cumulative effect of a 37 percent increase in total  
8 generation. This increased generation translates to a significant amount  
9 of additional coal burned in the units since 1990. This, in turn, causes an  
10 increase in the wear and tear of boiler components and auxiliary  
11 equipment (i.e. coal mills, ash handling equipment, fans, ductwork, etc.)  
12

13 Q. Please define planned outage and other maintenance cost.

14 A. In order to better manage our O & M expenses, track costs, and monitor  
15 performance results, Gulf has adopted a philosophy of capturing  
16 production expenses in the following categories: (1) Baseline,  
17 (2) Planned Outage, and (3) Special Projects.

18 Baseline expenses are the costs required to conduct the day-to-day  
19 operation and maintenance of the plant. Planned outage expenses are  
20 those that occur in support of periodically scheduled maintenance of  
21 major components such as boiler, turbine, generator, or auxiliary  
22 equipment. Special Projects expenses are for projects significant in cost,  
23 that are tracked individually to enhance cost control and ensure  
24 acceptable performance. Although a particular special project may not  
25 occur annually, there will be special projects that have to be completed

1 each year. The level of special project costs included in the test year is  
2 representative of the costs that will be incurred in future years. This  
3 change in philosophy was initiated to provide a consistent cost  
4 methodology to all our power plants. This consistent cost approach also  
5 provides Gulf with the ability to better manage our projects, while  
6 identifying best practices and opportunities for improvement to enhance  
7 the performance of our units.

8

9 Q. What is the impact of planned outages on Gulf's production O & M in the  
10 test year?

11 A. The budget for planned outages in the test year is \$14.0 million. This  
12 compares to \$10.9 million in actual planned outage expenses in the year  
13 2000, the most recent complete historical year available at the time of this  
14 filing. The increase from calendar year 2000 to the test year is primarily  
15 attributed to the overall scope of the planned outages. The major  
16 difference in the test year and the historical year is an increase in the  
17 scope of the planned outages at Smith Units 1 & 2 and the addition of an  
18 outage for Plant Daniel.

19 The test year budget is more representative of future conditions.  
20 As shown on my Schedule 5, the projected average annual planned  
21 outage expenses for the five-year period 2002 through 2006 is  
22 \$15.7 million. Gulf's test year outage budget of \$14.0 million is  
23 \$1.7 million below the projected five-year average.

24

25

1 Q. What is the main performance indicator used by Gulf to determine the  
2 effectiveness of its planned outage and maintenance program?

3 A. Gulf uses Equivalent Forced Outage Rate (EFOR) to gauge the  
4 effectiveness of its planned outage and maintenance program. EFOR is  
5 one of many standard calculations developed by the North American  
6 Electric Reliability Council Generating Availability Data Systems (NERC  
7 GADS). Gulf has been a participant in NERC GADS since its inception in  
8 1982. The EFOR calculation takes into account forced outages and  
9 deratings on a unit by unit basis. It is the measure of a unit's ability to  
10 meet full load when needed by the system.

11  
12 Q. How does Gulf determine the priority of projects to address EFOR?

13 A. Gulf has been proactive in implementing several major preventive  
14 maintenance programs that have improved the overall effectiveness of  
15 scheduling and planning processes. One program is the plant reliability  
16 optimization (PRO) program that was developed in partnership with the  
17 Electric Power Research Institute (EPRI). PRO is a maintenance process  
18 that seeks to produce the appropriate balance between corrective  
19 maintenance, preventive maintenance, and predictive maintenance. PRO  
20 combines all diagnostic, maintenance, financial, and process data into an  
21 effective decision-making tool. The ultimate goal is to perform  
22 maintenance at the least cost while maximizing equipment reliability. The  
23 EFOR for Gulf's units has declined significantly since 1997, in part,  
24 because of efforts that have more effectively targeted preventive  
25 maintenance expenditures to those preventive maintenance projects that

1 have the greatest impact. These EFOR reductions have occurred even  
2 though total generation for Gulf's units has increased 25 percent from  
3 1997 to 2000. Schedule 6 of my exhibit provides a detailed outline of  
4 Gulf's generation and EFOR for the years 1991 through 2000. The total  
5 increase in generation over this period is 37 percent.

6

7 Q. What is the effect of not performing the required maintenance?

8 A. In order to provide reliable and cost effective generation to our customers,  
9 Gulf must maintain plant efficiencies and minimize forced outages.

10 Without O & M dollars sufficient to continue our current maintenance  
11 practices, the EFOR of the units will be negatively impacted and the  
12 customers would ultimately bear the burden of higher costs. In the short-  
13 term, higher forced outage rates could require additional market energy  
14 purchases in order to meet customer load requirements. For example,  
15 market replacement power costs for a one percent higher summer EFOR  
16 caused by a single outage (64 hours) on Crist Unit 7 could have cost the  
17 customers as much as \$10 million in the summer period of 1999. The  
18 additional dollars we are requesting in this rate case are more than  
19 justified to offset the potential exposure of our customers to the costs  
20 associated with increased EFOR.

21

22 Q. How does the O & M Benchmark calculation included in Mr. McMillan's  
23 testimony for production compare to the test year?

24 A. As noted by Mr. McMillan, Gulf's total company O & M for the test year is  
25 \$3.7 million under the O & M Benchmark. The test year budget for

1 Production O & M expenses is over the Benchmark by \$9.4 million. As  
2 shown on my Schedule 7, this variance consists of four segments:  
3 (1) Production Steam, (2) Production Other, (3) Production Other Power  
4 Supply, and (4) Production Related Administrative and General.  
5

6 Q. Please discuss the \$5.8 million variance in total Production Steam.

7 A. In 1990, the Commission allowed \$5.9 million for boiler and turbine  
8 inspections. This results in a Benchmark of \$8.2 million as shown on my  
9 Schedule 8. In the test year, Gulf's total planned outage costs are  
10 \$14.0 million for a variance of \$5.8 million over the Benchmark. This is  
11 due, in part, to the additional maintenance costs associated with the  
12 increased amounts of generation required. As previously stated, our  
13 generating units have aged significantly and have been required to  
14 produce more electricity on an annual basis. Since 1990 there has been  
15 a 37 percent increase in total generation as compared to the historical  
16 year 2000.

17 In addition, we now use diagnostic tools that were not readily  
18 available in 1990 such as: thermography, boiler mapping, tube sampling,  
19 non-destructive examination, and motor signature testing. These tools  
20 allow us to locate problems before they actually occur, thereby increasing  
21 the maintenance activities performed today. The added costs of these  
22 additional maintenance activities are incurred to help reduce EFOR and  
23 provide more reliable, low cost generation to our customers. The  
24 Benchmark does not recognize this more inclusive outage philosophy  
25 used today as compared with 1990.

1 Q. Please explain how the outage philosophy used today differs from that  
2 used in 1990 and the resulting impact on the Benchmark comparison.

3 A. As I discussed previously in my testimony, Gulf adopted a philosophy of  
4 budgeting and tracking production expenses as baseline, planned outage,  
5 or special projects. As we currently define them, planned outages include  
6 maintenance work performed while the unit is scheduled off line for a  
7 specified period. Planned outages include, but are not limited to, work on  
8 the boiler, turbine, generator, pulverizer, precipitator, cooling towers,  
9 stack, ductwork, and other auxiliary equipment. Year to year budget  
10 fluctuations are largely due to scope changes in planned outages and  
11 special projects associated with various units within our generating fleet.

12 The current philosophy of tracking baseline, outage, and special  
13 projects costs provides our management with the ability to better manage  
14 projects, while identifying best practices and opportunities for  
15 improvement to enhance the performance of our units. This was not the  
16 case in 1990 when only three major turbine and boiler inspections  
17 occurred as shown on my by Schedule 5. Other outages were taken but  
18 not identified as major turbine boiler inspections. The associated  
19 additional outage dollars were not specifically identified with outages in  
20 the 1990 test year. Because of the diagnostic tools available today,  
21 outages under our definition are more inclusive in terms of scope of work  
22 to be performed during the planned outage. Therefore, comparing the  
23 resulting Benchmark amount to the planned outage amount in the test  
24 year is not an appropriate comparison.

25



1 Q. Please compare Gulf's Production Other O & M expenses for the test year  
2 to the Benchmark level.

3 A. The Production Other segment is \$3.8 million over the Benchmark level.  
4 This variance is attributed to the additional costs associated with Smith  
5 Unit 3 of \$3.4 million and annual maintenance cost of \$450,000 applicable  
6 to the Pea Ridge Cogeneration facility which was added to Gulf's system  
7 after the 1990 test year. The amount budgeted for these two facilities is  
8 reasonable, necessary, and prudent in order to keep these generating  
9 units operating to serve Gulf's customers.

10

11 Q. Please compare Gulf's Production Other Power Supply O & M expenses  
12 for the test year to the Benchmark level.

13 A. The test year budget in Production Other Power Supply accounts is  
14 \$1.1 million over the Benchmark level. Of this variance, \$896,000 is  
15 directly related to Gulf's share of costs associated with operating the  
16 Southern electric system's wholesale energy trading floor. This activity  
17 provides: (1) better utilization of the most efficient generating sources,  
18 (2) management of reliability power purchases, (3) economic purchases of  
19 lowest-cost wholesale power, and (4) wholesale sales of excess system  
20 generating capacity. Gulf's customers benefit from greater system  
21 reliability and reduced costs.

22 The remainder of the variance for the Production Other Power  
23 Supply segment is related to increased costs of the Power Coordination  
24 Center (PCC) which coordinates the bulk power supply operations for Gulf  
25 and the other operating companies of the Southern electric system. The

1 bulk power supply operations provided by the PCC include interchange  
2 evaluations, real time generation control, transmission security and sales,  
3 and operations planning. FERC regulations related to Orders 888, 889,  
4 and 2000 have all been issued since the Benchmark year. Activities  
5 associated with compliance with these orders have caused the increase of  
6 \$208,000 associated with the development and implementation of  
7 relevant automated systems. These costs are offset by the benefits that  
8 Gulf's customers receive through an enhanced competitive wholesale  
9 energy market.

10

11 Q. Please compare Gulf's Production Related A & G expenses for the test  
12 year to the Benchmark level.

13 A. As shown on Schedule 7 of my exhibit, the budget for Production Related  
14 A & G in the test year is \$1.3 million under the Benchmark. This variance  
15 is associated with reductions in A & G costs at Plant Daniel of \$914,000  
16 and an overall reduction of \$871,000 in A & G costs associated with  
17 insurance expenses and employee benefits allocated to Production.

18

19 Q. Is the \$83.7 million included in production the appropriate level of O & M  
20 expense to use in setting Gulf's base rates?

21 A. Yes. As mentioned earlier, Gulf as a company is \$3.7 million below the  
22 Benchmark established by this Commission. The approved level in the  
23 last rate case resulted in a Benchmark level of \$74.3 million for  
24 production. I have discussed reasons for the variance of \$9.4 million from  
25 the Benchmark previously in my testimony. The \$83.7 million level of

-

1 O & M for Production in the test year is reasonable, prudent, and  
2 necessary to continue to maintain reliable low cost generation for our  
3 customers. Furthermore, the test year O & M level is representative of  
4 levels that will continue to be incurred in the future when new rates  
5 resulting from this case are in effect.

6  
7 Q. Please summarize the Production Construction Budget for the period  
8 January 1, 2001 through May 31, 2002.

9 A. The total Production Construction Budget for the period January 1, 2001  
10 through May 31, 2002 is \$238.1 million. This includes \$188.2 million  
11 associated with Smith Unit 3 and \$49.8 million of other production-related  
12 items. The other production related items include \$9.5 million of  
13 environmental projects and \$5.8 million of Scherer capital expenditures.  
14 Mr. Labrato addresses the adjustments used to remove investments and  
15 related accumulated depreciation associated with UPS contracts and with  
16 amounts recovered through the Environmental Cost Recovery Clauses.  
17 The remaining \$34.5 million included in the production construction  
18 budget is for specific projects at Gulf's generating facilities designed to  
19 improve heat rate, prevent forced outages, or otherwise help ensure the  
20 availability of efficient, low-cost generation to our customers. Schedule 9  
21 of my exhibit is a listing of all capital projects included in this period for  
22 production.

23  
24 Q. Please summarize the Production Construction Budget for the test year.

25 A. The test year construction budget for production is \$13.0 million. This

1 includes \$677,000 associated with Smith Unit 3, \$11.0 million of retrofit  
2 items, \$1.0 million of environmental projects, and \$301,000 of Scherer  
3 capital expenditures. All capital projects are designed to improve heat  
4 rate, prevent forced outages, or improve plant efficiency. Schedule 10 of  
5 my exhibit is a listing of all capital projects for the test year.  
6

7 Q. What processes do you use to ensure capital dollars are spent  
8 effectively?

9 A. As previously stated, Gulf monitors NERC GADS data as part of the  
10 production capital analysis process. Gulf develops plans to address  
11 GADS events that continue to be problematic and makes decisions to  
12 repair or replace existing equipment. For all capital projects, the Project  
13 Evaluation and Prioritization System (PREPS) model is used to determine  
14 the economic viability of a project. The PREPS model assigns benefits in  
15 terms of dollars to heat rate improvements, reduced forced outage rates,  
16 or reduced station service expenses and compares those benefits to the  
17 project costs. The normal criteria to implement a capital project are a  
18 payback of less than five years and a 1.2 benefit to cost ratio.  
19

20 Q. How is the Construction Budget managed?

21 A. Each project is assigned a project manager who is responsible for  
22 developing potential solutions and preparing all PREPS analyses. The  
23 project manager will develop documentation outlining the scope of the  
24 project and work with procurement contract personnel to develop a bid  
25 package. From start to finish, the project manager is responsible for all

1 on-site management including contractor performance and invoice review.  
2 The plant manager receives a report from Generation Services each  
3 month detailing total capital project expenditures and budget variances for  
4 all projects. The plant manager is responsible for explaining all budget  
5 variances. At the Company level, the Corporate Planning group requires  
6 a detailed explanation quarterly of all budget variances that meet specific  
7 variance criteria.  
8

9 Q. What recovery amount is Gulf requesting for total inventory dollars  
10 including fuel stock and in-transit fuel?

11 A. Gulf is requesting a total fuel inventory of \$42.4 million. This includes  
12 \$29.4 million for fuel stock and \$13.0 million for in-transit fuel.  
13

14 Q. Please describe Gulf's coal inventory policy.

15 A. Our policy is to maintain plant inventory levels sufficient to safeguard  
16 against disruptions in supply and inconsistencies in delivery of coal due to  
17 weather conditions and other factors affecting the transportation sector.  
18 Preliminary stockpile levels are determined using the Utility Fuel Inventory  
19 Model developed by EPRI and the electric utility industry. The model  
20 evaluates, among other factors, the economics associated with being  
21 forced to procure coal in the spot market versus the costs associated with  
22 carrying various levels of inventory. The model results are then  
23 considered along with specific plant logistics and other market intelligence  
24 in setting inventory target levels for the coming year. These inventory  
25 levels are then used in the SES Fuel Optimization and Evaluation System

1 (FOES) model to develop a fuel budget for all plants in the SES, including  
2 Gulf. FOES is used to evaluate the load dispatch of the SES fleet and  
3 fuel price forecast. It then generates a fuel budget for each plant. For the  
4 test year this evaluation resulted in inventory targets for Gulf's barge-  
5 served coal fired plants of approximately 40 normal full load (NFL) days  
6 and for its rail-served plants (excluding Scherer), a range from 20 to 37  
7 NFL days.

8  
9 Q. How does this policy compare to the policy used in the last case?

10 A. The SES fleet of generating units is dispatched and runs based on the  
11 economics associated with marginal fuel prices. Because the marginal  
12 prices are constantly changing with the markets, burn projections fluctuate  
13 accordingly. Since "burn" is really a moving target, Gulf now employs a  
14 "NFL burn day" as a stable Benchmark by which to measure inventory  
15 levels. A NFL burn day is equal to the amount of fuel required, at a  
16 standard unit per plant heat rate and given fuel-heating value, to run at full  
17 load for 24 hours. In the last case, a budget burn or projected test year  
18 burn was employed to determine burn days. Based on the latter method  
19 of determining burn days, Gulf is requesting 52 days of projected burn, as  
20 compared to the last rate case in which the Florida Public Service  
21 Commission allowed for 90 projected burn days.

22  
23 Q. Based on this policy, what is Gulf's forecasted inventory level for the test  
24 year?

25 A. For all Gulf plants (excluding Scherer), the 13 month average of the

1 monthly ending inventory levels, not including in-transit coal, for May 2002  
2 through May 2003, is a stockpile of 695,829 tons (\$26.8 million), or  
3 36 days NFL supply. This compares to a total of 784,887 tons  
4 (\$37.0 million) allowed in the last rate case.

5  
6 Q. Have you included in your request for working capital an amount for  
7 in-transit coal?

8 A. Yes. Gulf pays its coal suppliers upon shipment. Therefore, capital is  
9 invested in coal that has not yet been received at the plants. The amount  
10 of the in-transit coal for the test year is \$13.0 million. Since a major  
11 portion of Gulf's coal supply is delivered by barge, considerable time is  
12 involved in transporting the coal to the plant sites. This investment in coal  
13 that is in-transit should be included in the working capital component of  
14 Gulf's rate base.

15  
16 Q. What is Gulf's natural gas inventory forecast for the test year?

17 A. Gulf's current policy is to maintain a certain portion of its natural gas  
18 requirements in storage to provide for pipeline balancing and natural gas  
19 interruptions caused by pipeline and compressor station failures,  
20 hurricanes, well freezes, etc. Gas storage for balancing is necessary to  
21 avoid penalties imposed by pipelines for large swings in daily and hourly  
22 demands when the generating unit is economically dispatched or when  
23 other sudden changes, like plant outages, cause a swing in demand.  
24 Currently, a target inventory level of approximately ten NFL days supply  
25 for Smith Unit 3, or 850,000 MMBtus, has been set. Based on the

1 capacity factor for Smith Unit 3 in the test year, this equates to about  
2 17.5 average burn days. In addition, Gulf maintains approximately ten  
3 days burn of natural gas storage for Crist Plant or about 100,000 MMBtus.  
4 Gulf has included \$2.1 million in working capital for gas storage.  
5

6 Q. What is Gulf's forecast distillate oil inventory level for the test year?

7 A. Gulf's projected distillate oil inventory level, including both lighter oil and  
8 combustion turbine generating fuel, for the test year (excluding Scherer) is  
9 16,105 barrels. The amount of \$487,000 has been included in working  
10 capital for distillate oil inventory.  
11

12 Q. Please summarize your testimony.

13 A. The construction of the 574 megawatt Smith Unit 3 is a major factor  
14 creating Gulf's need for rate relief. Gulf's RFP and subsequent need  
15 determination clearly demonstrate that Smith Unit 3 is necessary and the  
16 most economical option available to Gulf's customers. The capital  
17 addition of Smith Unit 3 of \$220.5 million and the associated O & M  
18 expenses of \$3.4 million are reasonable, prudent and necessary  
19 expenses and in the best interests of Gulf's customers.

20 The Production Construction budget is necessary to continue to  
21 improve heat rate, prevent forced outages, or otherwise help ensure the  
22 availability of efficient, low-cost generation to our customers. The fuel  
23 inventory levels requested in working capital are reasonable and the coal  
24 inventory levels fall below the guidelines established in our last rate  
25 hearing proceeding.



1 Gulf's production operations continue to provide low cost, reliable  
2 electricity to our customers, while at the same time the demand has  
3 increased significantly. The availability of Gulf's generating units and low  
4 EFOR are clear indications that Gulf has developed an effective program  
5 that will continue to provide our customers with reliable service. Gulf is  
6 committed to maintaining our generating facilities through the effective  
7 use of resources. Gulf's production construction and O & M costs are  
8 carefully controlled and utilized in a manner to ensure high availability and  
9 low EFOR. The \$83.7 million budgeted for power production O & M in the  
10 test year are reasonable, prudent, and necessary expenses and are  
11 representative of levels that will continue to be incurred in the future when  
12 new rates resulting from this case are in effect. Gulf is committed to  
13 continual improvement of our maintenance and operations practices so  
14 that our customers will be best served and their long-term electric costs  
15 will continue to be among the lowest in the nation.

16 The results, as reflected in Gulf's record associated with EFOR, are  
17 a clear indication that the planned outage and maintenance practices of  
18 Gulf are efficient and effective. With the increasing age of our generating  
19 facilities and a 37 percent increase in generation for those units, Gulf has  
20 reached a point where we can no longer continue to maintain a  
21 reasonable level of reliability without the level of O & M and capital  
22 expenditures requested in the test year.

23  
24 Q. Does this conclude your testimony?

25 A. Yes.

1 BY MR. MELSON:

2 Q Mr. Moore, would you summarize your testimony for the  
3 Commission, please.

4 A Yes, sir. Good afternoon, Commissioners. Over the  
5 past 12 years, Gulf has utilized its resources prudently and  
6 effectively. Gulf's high customer satisfaction and reliability  
7 are evidence of these efforts. Gulf's production function has  
8 managed to use the available resources in such a manner that  
9 peak season reliability for Gulf's plants are at an all-time  
10 high.

11 With Gulf's overall O&M requests for the test year,  
12 we will be \$3.7 million below the 1990 benchmark. Keep in mind  
13 that this is inclusive of Smith 3. Gulf's request for  
14 \$83.7 million of O&M production expenses for May 2003 projected  
15 test year are the amount needed to effectively maintain and  
16 operate Gulf's generating fleet.

17 Since our last rate case, Gulf's generating fleets  
18 have grown 12 years older. But during that period of time,  
19 customers have enjoyed reliable, low cost electricity while the  
20 demand for our product has increased significantly. With the  
21 increased demand, that has required our generating plants to  
22 produce 37 percent more electricity than in 1990 with  
23 25 percent of that increase coming since 1997. Even with this  
24 aging fleet and increased demand, Gulf has managed its  
25 resources in such a manner that peak season reliability for all

1 its units is at an all-time high. The effective management  
2 translates to high system reliability, high customer  
3 satisfaction, and low cost.

4           Unfortunately, Gulf cannot expect our generating  
5 fleet to continue to perform at this high level without  
6 additional maintenance expenditures. While our product-related  
7 O&M expenses were at or below the benchmark for many years, our  
8 actual production costs continue to increase above that  
9 benchmark and will continue to in the future. We believe that  
10 this money is well spent performing the necessary maintenance  
11 on our generating fleet, helps us ensure that our customers  
12 will have minimal impact to high replacement energy costs.

13           As we discussed, previous O&M dollars spent in the  
14 past test year, I want to make it clear that the increased  
15 demand of our units and the increased age of these units has  
16 resulted in production expenditures exceeding the benchmark.  
17 Looking into the future, O&M dollars we're requesting in the  
18 test year are still \$9.5 million below the projected five year  
19 average for the years 2002 through 2006. The requested amount  
20 is a conservative representation of the dollars needed to  
21 maintain our generating fleet today and in the future.

22           In our last rate case, this Commission approved  
23 \$45.4 million of total fuel to be included for working capital  
24 for Gulf. Our current request is 42.4 million in total fuel  
25 which includes natural gas. That's \$3 million below the amount

1 approved for the last rate case in 1990. Keep in mind, our  
2 current requests includes \$2.1 million for natural gas. No  
3 natural gas was required in the previous rate case. The fact  
4 that Gulf is making this reduction in working capital even  
5 though generation and fuel requirements are increasing is an  
6 example of Gulf's proactive approach to better manage our total  
7 fuel inventory.

8 In conclusion, we do not take our requests for a rate  
9 increase lightly. We recognize that our customers trust Gulf  
10 Power to do the right thing to ensure that they continue to  
11 receive reliable, low cost electricity. The employees of Gulf  
12 Power are some of the most dedicated and highly trained  
13 employees in the electric utility industry. The decisions we  
14 make and the expenditures we are requesting are in the  
15 long-term best interest of our customers. Thank you. This  
16 summarizes my testimony.

17 MR. MELSON: Mr. Moore is available for cross.

18 CHAIRMAN JABER: FEA.

19 MR. ERICKSON: No questions.

20 CHAIRMAN JABER: FIPUG.

21 MR. PERRY: No questions.

22 CHAIRMAN JABER: Public counsel.

23 CROSS EXAMINATION

24 BY MR. BURGESS:

25 Q Mr. Moore, one of the challenges that Gulf has been

1 facing has been the aging plants that have been required to  
2 produce more electricity on an annual basis; is that correct?

3 A Yes, sir.

4 Q Now, is that going to be relieved somewhat by the  
5 addition of Smith 3 being brought on-line?

6 A Bringing Smith 3 on-line will take care of certain  
7 capacities that we need today. We have approximately 450  
8 megawatts of energy under contract today that when Unit 3 goes  
9 on-line in June, that energy from that plant will displace  
10 those contracts.

11 Q So because Smith 3 is coming on-line, you're going to  
12 drop that contract?

13 A Yes, sir. That was the term of those contracts, was  
14 sufficient to get us to June 1 of this year, at which time  
15 Smith 3 would go into commercial operations.

16 Q And you're saying then that it's more cost-effective  
17 to put that 450 megawatts back on the shoulders of these other  
18 plants than to engage in another contract of a similar size; is  
19 that correct?

20 A Yes, sir. It goes back to Smith Unit 3.

21 Q Now, in the planned outages in the past for Gulf's  
22 plants, has there been less of a need for planned outage than  
23 you anticipate in the future, or have you restricted the actual  
24 planned outage as a result of your load needs?

25 A If I understand your question, what we do with

1 planned outage today is significantly different than we did in  
2 1990, for example. The technologies that we use today, the  
3 equipment we use to make our determinations on what needs to be  
4 done in terms of planned outages is much more comprehensive  
5 today.

6 For example, we use tomography, infrared cameras to  
7 survey boilers, to survey external steam piping to look for  
8 efficiencies and losses. We have computerized programs to help  
9 monitor our boilers and boiler-related outages. We have  
10 equipment to test motors, circuit breakers, those type things,  
11 as well as we do a much more comprehensive job today of  
12 inspecting our equipment than we have in the past. And I think  
13 that's indicative of the change that you see from 1990 to  
14 planned outages today.

15 Q Let's take the computerized aspect that you initially  
16 identified. Now, you said that's as opposed to the infrared --

17 A No.

18 Q -- or that's in addition to the --

19 A It's in addition to.

20 Q When did these begin? When did these particular  
21 capabilities begin?

22 A We actually started utilizing the work orders -- the  
23 boiler work management system at Gulf in 1997 to start tracking  
24 these type events.

25 Q And you would agree that there is a -- would you

1 agree that there is a significant increase between what you  
2 anticipate for the first five years starting in the year 2000  
3 from what it was -- or the first five years starting in the  
4 year 2001 from what it was in the years from 1996 to 2000, is  
5 that correct, in the total expenditures -- or the total expense  
6 necessary for planned outage?

7 A Would you ask your question again, please.

8 Q Yes. Is there a significant difference in the  
9 average annual expense expected for planned outage in the  
10 five-year period beginning in the year 2001 significantly  
11 higher than the five-year period from 1996 to 2000?

12 A There is an increase, yes, sir.

13 Q Can you tell me approximately what magnitude that  
14 increase is?

15 A In just planned outages alone?

16 Q Yes.

17 A In 1996 we had an increase from the benchmark of  
18 \$2,400,000. In 1997 we were below the benchmark in terms of  
19 planned outages by 2.3 million. In '98 we were over the  
20 benchmark by 1 million. In 1999 we were over the benchmark by  
21 3.5 million. In 2000 we were over the benchmark by  
22 3.1 million. And the five-year average is 1.5 million. And  
23 the actual for 2001 is 2.3 million, and the test year is  
24 5.8 million.

25 MR. BURGESS: Thank you, Mr. Moore. That's all we

1 have.

2 CHAIRMAN JABER: Thank you, Mr. Burgess.  
3 Staff.

4 MR. HARRIS: We have no questions.

5 CHAIRMAN JABER: Commissioners.  
6 Go ahead, Commissioner Bradley.

7 COMMISSIONER BRADLEY: Thank you, Madam Chair.  
8 Mr. Moore, you're responsible for the generation and  
9 transmission functions at Gulf; is that correct?

10 THE WITNESS: Yes, sir, I am.

11 COMMISSIONER BRADLEY: Would you please tell me why  
12 you think Gulf should be rewarded or given a higher ROE for  
13 performance in your area of responsibility.

14 THE WITNESS: Yes, sir, I'd be glad to. I think in  
15 my particular area, predominately when you look at low cost, we  
16 have a lot of impact on cost at Gulf, and it's a significant  
17 part of the impact in our O&M budgets and the performance of  
18 that company. So if we don't do a good job of maintaining our  
19 fleets and maximizing the performance of those units, we  
20 subject our customers to higher replacement energy costs which  
21 in turn will drive their cost up which in terms from being the  
22 lowest in terms of cost of energy, we wouldn't maintain that  
23 very long.

24 The other factors that impact us are the transmission  
25 system. Reliability numbers on the transmission system would



1 be impacted. Unfortunately, when you look at the generating  
2 plants, the buck kind of stops here, so to speak. If we don't  
3 make it, you can't transmit it and you can't distribute it. So  
4 that also shows up in our reliability numbers. Gulf also is  
5 responsible for a GPIF accountability today where we're held  
6 accountable by this Commission for our heat rate and our  
7 availability of these same units.

8           So all those are inclusive of what we think we do  
9 well and we do a good job at. And I think they're indicative  
10 of the performance of Gulf as a whole. As we said, we haven't  
11 been here for 12 years, and even with the inclusion of Smith  
12 Unit 3, Gulf's request is \$3.7 million below the  
13 1990 benchmark. That's quite an accomplishment.

14           COMMISSIONER BRADLEY: One follow-up.

15           CHAIRMAN JABER: Yes. Go right ahead.

16           COMMISSIONER BRADLEY: Also, would you discuss  
17 somewhat what the difference in performance factors would be  
18 for coal-fired units versus gas- or oil-fired units?

19           THE WITNESS: Yes, sir. There is a significant  
20 difference in terms of the maintenance for oil and gas as  
21 compared to coal. Coal, obviously, it starts from the time you  
22 buy it and you receive it at the plant. You have a lot of  
23 handling charges that you have to handle it, where you have to  
24 unload the coal, push it up on the stockpile. Then you have to  
25 run the coal through the crushers, through the conveyor

1 systems. None of that is applicable to gas and oil. And even  
2 once you get it into the plant and you get it into the boiler,  
3 coal is very abrasive. The equipment that pulverizes the coal  
4 grinds it up into face powder consistency before it is injected  
5 into the furnace. That equipment is -- takes a significant  
6 amount of wear and tear, and just over time, you have to  
7 rebuild it. Where if you're burning gas or oil, you  
8 wouldn't have those expenses or that maintenance you wouldn't  
9 be incurred to those either.

10           And then when you get in the boiler and actually get  
11 into the combustion process, the ash is very, very abrasive.  
12 It's similar to sandblasting, and the erosion on the boiler  
13 tubes themselves are significant, and it requires a great deal  
14 of maintenance. If you can imagine, a boiler is typically the  
15 size of this room and it goes up ten stories. And the fireball  
16 itself is approximately three stories tall, and there is a  
17 significant amount of ash in that boiler and heat. And you're  
18 looking at pressures upwards of 2,400 pounds pressure, a  
19 thousand degrees exit temperature, furnace temperature up and  
20 the superheater gets up to 2,300 degrees. You take those  
21 pressures and those temperatures and then you start  
22 sandblasting it with ash blowing through that boiler. It is a  
23 significant amount of wear and tear. Where if you have, again,  
24 gas or oil, you are not subjected to those type maintenance  
25 costs as a result of that wear and tear. And then it goes on

1 out through your precipitators, on out to your draft system and  
2 continue to get subjected to that wear and tear. It is a  
3 significant difference. It's like trying to compare apples to  
4 oranges.

5 CHAIRMAN JABER: Thank you, Commissioner.

6 Any other questions?

7 COMMISSIONER PALECKI: Yes. Mr. Moore, before Gulf  
8 Power filed this rate case, you filed a petition involving  
9 Smith Unit 3 basically where you requested that the Commission  
10 approve a procedure where the output from Smith Unit 3 would be  
11 sold to Gulf Power by way of a long-term contract. And in that  
12 petition and in the filing that went with it, you explain that  
13 there were many reasons that this was a better deal for the  
14 ratepayers of Florida. And I don't see in this rate case where  
15 you explain why putting Smith Unit 3 into base rates is a  
16 better deal for the ratepayer. Could you please explain why we  
17 should not go back to what you told us several months ago was a  
18 better deal.

19 MR. STONE: Commissioner Palecki, if I may, I think,  
20 first of all, there is no issue on that subject in this matter,  
21 but the Smith Unit 3 proposal that was proposed last summer,  
22 basically we were talking about a contract that was a financing  
23 plan. And I believe the more appropriate witness to address  
24 that question would be Mr. Labrato.

25 COMMISSIONER PALECKI: I'll wait for the other

1 witness then. If you could, remind me when he takes the stand.  
2 Thank you.

3 CHAIRMAN JABER: Thank you, sir.

4 Redirect, Mr. Melson, Mr. Stone.

5 MR. MELSON: No redirect. And we move Exhibit 32.

6 CHAIRMAN JABER: Okay. Exhibit 32 will be admitted  
7 into the record without objection.

8 (Exhibit 32 admitted into the record.)

9 THE WITNESS: Thank you, Commissioner.

10 (Witness excused.)

11 CHAIRMAN JABER: Mr. Fisher is our next witness.

12 MR. STONE: Thank you, Chairman.

13 FRANCIS M. FISHER, JR.

14 was called as a witness on behalf of Gulf Power Company and,  
15 having been duly sworn, testified as follows:

16 DIRECT EXAMINATION

17 BY MR. STONE:

18 Q Would you please state your name -- I'm sorry.

19 Mr. Fisher, have you been sworn?

20 A Yes, I have.

21 Q Would you please state your name and business address  
22 for the record.

23 A My name is Francis M. Fisher, Jr. My business  
24 address is One Energy Place, Pensacola, Florida.

25 Q And by whom are you employed and in what capacity?

1           A     I'm employed by Gulf Power Company, and I'm the vice  
2 president of power delivery and customer operations.

3           Q     Mr. Fisher, have you prefiled direct testimony in  
4 this proceeding consisting of 26 pages?

5           A     That's correct.

6           Q     Do you have any changes or corrections to that  
7 prefiled direct testimony?

8           A     Yes. I have four minor changes. Page 4, Line 17,  
9 correct the spelling of the word "Dobel" to D-O-B-L-E. Page 4,  
10 Line 24, change the word "arching" to "arcining," A-R-C-I-N-G.  
11 Page 14, Line 2, change "85 percent" to "88 percent." Page 20,  
12 Line 12 --

13           CHAIRMAN JABER: Yeah, Mr. Fisher, hang on. The last  
14 change you made was to Page 14, Line 2?

15           THE WITNESS: Line 2.

16           CHAIRMAN JABER: And you changed 85 to 88?

17           THE WITNESS: That's correct, Madam Chairman.

18           CHAIRMAN JABER: Commissioners, did you get the other  
19 two changes?

20           COMMISSIONER BRADLEY: Yes.

21           CHAIRMAN JABER: Okay. What's the next change?

22           THE WITNESS: One final change, Page 20, Line 12,  
23 change "94" to "98" percent.

24           CHAIRMAN JABER: Okay. Page 20, Line 12, change  
25 94 percent to what?

1 THE WITNESS: To 98 percent.

2 CHAIRMAN JABER: Thank you.

3 THE WITNESS: And that concludes the corrections.

4 BY MR. STONE:

5 Q With these corrections, if I were to ask your -- the  
6 questions in your prefiled testimony, would your answers be the  
7 same?

8 A That's correct.

9 MR. STONE: We ask that Mr. Fisher's prefiled  
10 testimony as corrected be inserted into the record as though  
11 read.

12 CHAIRMAN JABER: The prefiled direct testimony of  
13 Francis M. Fisher as corrected today shall be inserted into the  
14 record as though read.

15 BY MR. STONE:

16 Q Mr. Fisher, you have an exhibit identified as  
17 FMF-1 attached to your testimony consisting of five schedules,  
18 do you not?

19 A That's correct.

20 Q Are you also as part of your testimony and your  
21 exhibit sponsoring a section of the MFRs, those that are  
22 identified on Schedule 5 of your exhibit?

23 A That's correct.

24 Q Do you have any changes to your exhibits or to your  
25 portion of the MFRs?

1           A     I have one correction to Schedule 4, Page 7 of 11.  
2     Once again, change the word "arching" to "arcining," A-R-C-I-N-G.

3           CHAIRMAN JABER: Okay. Schedule 4, Page 4?

4           THE WITNESS: Excuse me, Schedule 4, Page 7 of 11.

5           CHAIRMAN JABER: Page 7 of 11, you would change the  
6     word "arching" to "arcining"?

7           THE WITNESS: Yes, ma'am. It's three lines from the  
8     bottom.

9     BY MR. STONE:

10          Q     With that, do you have any other changes to your  
11     exhibits or to your portion of the MFRs?

12          A     No, I do not.

13          MR. STONE: We ask that his Exhibit FMF-1 be  
14     identified with an exhibit number.

15          CHAIRMAN JABER: Yes. FMF-1 will be Exhibit 33.  
16     (Exhibit 33 marked for identification.)

17

18

19

20

21

22

23

24

25

## 1 GULF POWER COMPANY

2 Before the Florida Public Service Commission  
3 Prepared Direct Testimony and Exhibit of  
4 Francis M. Fisher, Jr.  
5 Docket No. 010949-EI  
6 In Support of Rate Relief  
7 Date of Filing: September 10, 2001

8 Q. Please state your name, address, and occupation.

9 A. My name is Francis M. Fisher, Jr., and my business address is One  
10 Energy Place, Pensacola, Florida 32520. I am Gulf Power Company's  
11 Vice President of Power Delivery and Customer Operations.

12 Q. Please summarize your educational and professional background.

13 A. I graduated from Troy State University in 1970 with a Bachelor's degree in  
14 Business Administration. I have been employed at Gulf since 1973 and  
15 have held various positions including: Manager of Residential Sales,  
16 Manager of Power Sales, Director of Marketing and Load Management,  
17 General Manager of Central Division, Vice President of Employee and  
18 External Relations, and currently serve as Vice President of Power  
19 Delivery and Customer Operations.

20 Q. What are your areas of responsibility within Gulf Power?

21 A. I have responsibility for Power Delivery, Customer Services, Customer  
22 Operations Support, Corporate Real Estate and Quality, and Corporate  
23 Security. These areas include: System Protection, Distribution Planning,  
24 Distribution Reliability, Line Equipment Service Center, Project Services,  
25 Distribution, Distribution Operations Center, Forestry Services, Meter



1 Shop, Customer Service Center, Collections and Support Services,  
2 Dispatch Center, Fleet Services, and Field Services. I am also Gulf  
3 Power Company's Concerns and Compliance Officer.  
4

5 Q. Have you prepared an exhibit that contains information to which you will  
6 refer in your testimony?

7 A. Yes. Schedule 1 is an index to the subsequent schedules to which I will  
8 refer. Exhibit (FMF-1) was prepared under my supervision and direction.

9 Counsel: We ask that Mr. Fisher's Exhibit (FMF-1) consisting of five  
10 schedules, be marked for identification as Exhibit \_\_\_\_.  
11

12 Q. Are you the sponsor of certain minimum filing requirements (MFRs)?

13 A. Yes. The MFRs that I am sponsoring, in part or in whole, are listed on  
14 Schedule 5 of my exhibit. To the best of my knowledge, the information in  
15 these MFRs is true and correct.  
16

17 Q. What is the purpose of your testimony in this proceeding?

18 A. The purpose of my testimony is to justify test year Operation &  
19 Maintenance (O & M) expenses of \$33.0 million associated with our  
20 Distribution functions. In doing so, I will compare Gulf's expenses for the  
21 projected test year period of June 2002 through May 2003 with calendar  
22 year 2000 expenses as well as the Benchmark. I will then summarize  
23 Gulf's need for capital additions of \$95.4 million for Distribution and  
24 \$7.7 million for General Plant in my area of responsibility for the period  
25 from January 2001 through the end of the test year. I will also provide

1 information regarding specific productivity improvements within my area of  
2 responsibility and provide evidence that these initiatives have enabled us  
3 to deliver superior service to our customers.

4  
5 Q. Mr. Fisher, what are the major causes for increased distribution O & M  
6 expenses in the projected test year as it compares to the 2000 expenses?

7 A. Overall the distribution expenses for the test year are approximately  
8 \$8.2 million over year 2000 actual expenses as shown on Mr. Saxon's  
9 Schedule 3. The major causes for these increased distribution expenses  
10 are in the following areas: pole inspections, substation maintenance,  
11 distribution tree trim, facility expenses, depreciation study adjustment,  
12 underground cable injection, and customer growth and inflation.

13  
14 Q. Please explain the increase in pole inspection expenses in the projected  
15 test year as it compares to the 2000 expense levels.

16 A. In 1991, Gulf began a ground-line inspection program to inspect and, as  
17 necessary, treat, repair or replace the Creosote and Penta treated poles  
18 the Company has in service. Gulf's distribution poles are located in the  
19 worst of five wood decay zones (zone 5 "Severe") as defined in the  
20 American Wood Preservers Association Standard C-4-99. Prior to 1980,  
21 Gulf installed Southern Pine Creosote and Penta treated wood poles.  
22 Since the early 1980s, Gulf has installed Chromated Copper Arsenate  
23 (CCA) treated wood poles with superior decay resistance. To date,  
24 approximately 48,000 poles have been inspected. Based on these  
25 inspections, it was determined that 82 percent of the poles could be

1           retreated without additional repairs, four percent needed to be reinforced  
2           to remain in service, and 14 percent required replacement. Due to the  
3           condition of its aging poles, Gulf has determined it is necessary to speed  
4           up this program. We will inspect and, as necessary, treat, repair or  
5           replace the remaining 60,000 Creosote and Penta poles over the next five  
6           years. Proceeding with this program in a planned, organized manner  
7           allows repairs to be made without prolonged outages under emergency  
8           conditions. This will result in better customer satisfaction and greater  
9           safety. The pole inspection program accounts for \$734,000 of the  
10          increase in the test year budget for Distribution.

11  
12        Q.     Please discuss the major reasons for the increase in substation  
13           maintenance in the projected test year as it compares to the 2000  
14           expense levels.

15        A.     At year-end 2000, Gulf had distribution substation equipment plant in  
16           service of approximately \$110 million. Based on diagnostic procedures  
17           such as ~~Doble~~<sup>Doble</sup> and dielectric testing, an increase in maintenance of  
18           \$555,000 annually is required to adhere to Gulf's Substation Maintenance  
19           Program and prevent increased failures of this aging substation  
20           equipment.

21                    During the 2001 to 2003 time period, Gulf will install an additional  
22           seven substation transformer banks, 32 breakers, and six capacitor  
23           banks. Maintenance associated with this equipment will cost an additional  
24           \$200,000 annually. Also, we have experienced insulator ~~arching~~<sup>arcing</sup> and  
25           outages at one of our distribution substations due to salt

1           contamination. In order to prevent reoccurrence of this, approximately  
2           \$60,000 will be expended each year to clean the insulators in this  
3           substation. The combination of these three factors accounts for the  
4           additional \$815,000 of O & M expense needed each year to properly  
5           maintain our substation equipment, reduce failures and maintain reliable  
6           service to our customers.

7  
8    Q.    Please explain the increase in distribution tree trim expenses in the  
9           projected test year as it compares to the 2000 expense levels.

10   A.    Based on the analysis of tree growth in Gulf's service territory, the  
11           optimum tree trim cycle is three years. Gulf's attempts to control cost in  
12           this area resulted in increased dependence upon less efficient spot  
13           trimming, which has led to an increase in the minutes of interruption to our  
14           customers. This increase in the number of tree related outages on Gulf's  
15           distribution system indicated a need to implement a more proactive tree-  
16           trimming program. In addition, today's customers require a higher level of  
17           reliability with respect to momentary outages due to increased use of  
18           computers and electronic appliances and equipment. The distribution tree  
19           trim request of \$4,123,000 for the test year and corresponding amounts in  
20           the future periods will allow Gulf to transition to a more effective cycle and  
21           reduce tree related outages. This request, which is \$2,488,000 above  
22           2000 actual expense, will also enable the company to better meet our  
23           customers' changing expectations for power quality.

1 Q. Why did your facility expenses increase in Distribution during the test year  
2 as it compares to the 2000 expense levels?

3 A. The \$695,000 increase is due to a change in allocation of the  
4 maintenance costs related to corporate and district offices. This will result  
5 in a more accurate allocation of expenses to the business unit and less  
6 cost being charged to Administrative and General (A & G).

7

8 Q. Please explain the increase in the Depreciation Study Adjustment in the  
9 projected test year as it compares to the 2000 expense levels.

10 A. This represents the Distribution O & M portion of Adjustment 17 made by  
11 Mr. Labrato on his Schedule 8. This adjustment represents the change of  
12 \$414,000 in depreciation of transportation equipment, which is charged to  
13 a clearing account and then allocated to the appropriate O & M accounts.  
14 This is a Net Operating Income (NOI) adjustment which reflects the  
15 Company's new proposed depreciation rates and dismantlement accruals,  
16 which have been filed in Docket No. 010789-EI with the Commission on  
17 May 29, 2001, through the Company's 2001 Depreciation and Dismantling  
18 Study.

19

20 Q. Please explain the increase in underground cable injection in the  
21 projected test year as it compares to the 2000 expense levels.

22 A. Gulf had over 600 trench miles of underground primary cable installed  
23 before 1990. The cable injection process involves injecting underground  
24 primary cables with a silicone fluid to remove water and fill voids. This  
25 process has proven to retard the deterioration of the cable insulation. The

1 life of a selected group of these aging cables can be greatly extended by  
2 this cable injection process. Injecting these cables in a planned manner  
3 will reduce the likelihood of outages caused by premature failures and is  
4 less expensive than cable replacement, which incurs cost associated with  
5 boring under or trenching through established yards and commercial sites.  
6 The projected cost of this program is \$166,000.

7

8 Q. Mr. Fisher, other than the programs mentioned above, what accounts for  
9 the remaining increase in the test year compared to 2000 expenses?

10 A. The remaining increase is primarily related to the normal increases in  
11 programs due to inflation and customer growth.

12

13 Q. How does the test year O & M for Distribution compare to the FPSC  
14 Benchmark calculation included in Mr. McMillan's testimony?

15 A. As shown on Mr. McMillan's Schedule 1, the total company O & M  
16 expenses are under the Benchmark by \$3.7 million. The O & M expenses  
17 related to Distribution are over the Benchmark by \$5.2 million. The major  
18 reasons for this variance are: Information Technology (IT) Products &  
19 Services; Outdoor Light Maintenance, Street Light Maintenance &  
20 Relamping; Pole Line Inspection Program; and the allocation of Facility  
21 Expenses.

22

23 Q. Please discuss the major changes that have caused the increase in  
24 IT products and services expenses for the Distribution area.

25 A. In 1990, the majority of all IT costs were in the A & G function. These IT

1 costs are now charged directly to the functional area incurring the costs  
2 wherever it is feasible to do so. With the evolution of computer  
3 technology use within the workforce over the past 10 - 12 years, there has  
4 been a decrease in the need for support personnel to handle  
5 correspondence, presentations, reports, etc., for other professional job  
6 classifications. Computer technology has enabled the general workforce  
7 to do more with automated processes, thus increasing total productivity.  
8 The combination of products, equipment, and labor reallocated to the  
9 Distribution function accounts for the \$1,826,000 increase over the  
10 Benchmark.

11  
12 Q. Please discuss the major reasons for the increase in street light  
13 maintenance, outdoor light maintenance and relamping expenses over the  
14 Benchmark levels.

15 A. In 1990, a total of 47,413 high-pressure sodium street and outdoor lights  
16 were in service. At the end of 2000, the total had grown to 124,891 lights,  
17 which equates to a growth rate of 263%. The actual growth in the number  
18 of street and outdoor lights applied to the 1990 allowed expenses equates  
19 to \$1,328,000 of the \$1,438,000 request. The remaining \$110,000  
20 requested is due to the additional lights that are included in the test year,  
21 and to the group street light relamping that is scheduled during the test  
22 year. The group relamping program reduces inefficiencies of individually  
23 rebulbing street lights as they fail.

24  
25

1 Q. Please explain the increase in pole inspection expenses over the  
2 Benchmark levels.

3 A. The pole inspection program has previously been explained in my  
4 testimony. Since this program began in 1991 after the Benchmark was  
5 established, the entire \$734,000 is shown as a variance.

6

7 Q. Why did your facility expenses for ground and building maintenance  
8 increase in Distribution?

9 A. The Company implemented cost-saving measures to manage facility  
10 expenses resulting in the overall corporate and district facility expenses  
11 being \$1.0 million under the Benchmark. As part of the effort to keep  
12 costs down, the Company centralized the operation and maintenance of  
13 the corporate and district facilities and revised the functional accounts  
14 being charged to more accurately allocate facility expenses to the  
15 business functions. Although total corporate and district facility expenses  
16 are below the Benchmark, a change in allocation of these expenses  
17 accounts for approximately \$746,000 of the Distribution variance. This  
18 offset in A & G expenses is discussed by Mr. McMillan in his testimony.

19

20 Q. Are there any other items that are part of your Distribution Benchmark  
21 variance?

22 A. Yes. Justifications for the following items, which are of smaller  
23 magnitude, are included in Schedule 4 of my exhibit: Energy  
24 Management System (EMS), Southern Electric Geographic Information  
25 System (GIS), distribution substation maintenance, depreciation study



1 adjustment, and underground cable injection.

2

3 Q. Is this the appropriate level of O & M expenses to use in setting Gulf's  
4 base rates?

5 A. Yes. The \$33.0 million level of O & M for Distribution in the test year is  
6 reasonable and necessary. We have made prudent decisions to hold  
7 down our costs, and the requested level of expenses is needed for Gulf to  
8 continue to provide reliable service to our customers. The test year  
9 O & M for Distribution is representative of levels that will continue to be  
10 incurred in the future when new rates will be in effect.

11

12 Q. What process is used to determine the need for new distribution capital  
13 expenditures?

14 A. Expenditures for items such as meters, transformers, and line extensions  
15 to cover customer growth are based on customer forecasts as well as an  
16 allocation to serve existing customers' increasing demands. In addition,  
17 area load studies are conducted periodically by the Distribution Planning  
18 Department. The frequency of these studies is based on the measured  
19 load growth and planned load additions. Based on the results of these  
20 load studies, specific plant expenditures are budgeted and reviewed by  
21 management. Mr. Saxon has a more extensive discussion of the  
22 Company's overall capital budgeting process in his prefiled testimony.

23

24

25

1 Q. Please give a summary of your distribution capital expenditures from  
2 January 2001 through May 2002.

3 A Gulf will spend approximately \$57.1 million for new distribution facilities  
4 during this 17 month period. These distribution expenditures are  
5 necessary to serve new customers, meet additional load growth from  
6 existing customers, and replace deteriorating facilities. The funds will be  
7 used to purchase and install poles, wire, cable, transformers, capacitors  
8 and other distribution equipment and materials. Expenditures during this  
9 time period are consistent with the year 2000 actual capital expenditures  
10 of \$35.6 million when considering the 17 month period includes two major  
11 construction periods. These are the major construction periods necessary  
12 to meet peak summer load conditions.

13

14 Q. Please give a summary of your distribution capital expenditures during the  
15 June 2002 through May 2003 test year.

16 A. Gulf will spend approximately \$38.3 million during this time period. This  
17 compares favorably with the \$35.6 million of actual expenditures for  
18 calendar year 2000 when inflation and customer growth are considered. It  
19 is necessary to fund these capital additions to serve new customers and  
20 meet the needs of our existing customers.

21

22 Q. Please give a summary of the general plant expenditures for your area of  
23 responsibility from January 2001 through May 2002.

24 A. Gulf will spend approximately \$3.3 million during this 17 month period for  
25 general plant in my area of responsibility. The majority of these

1 expenditures are to provide for improvements to buildings and land as  
2 well as the purchase of automotive equipment including mechanized line  
3 and service trucks. Expenditures during this period are below the  
4 \$3.7 million of actual expenditures for calendar year 2000.

5

6 Q. Please summarize the general plant expenditures for your area of  
7 responsibility during the June 2002 through May 2003 test year.

8 A. Gulf will spend approximately \$4.4 million during this period of time.  
9 Replacement of mechanized line and service trucks that are approaching  
10 the end of their service life accounts for the increase of approximately  
11 \$1.0 million over the previous 17 month period. This \$4.4 million is  
12 reasonable and necessary when the new rates are in effect.

13

14 Q. Mr. Fisher, would you briefly describe Gulf Power's commitment to  
15 providing superior service to customers?

16 A. One of our primary corporate goals is to be an industry leader in service  
17 and customer satisfaction. We have undertaken a number of initiatives to  
18 ensure that we understand and are responsive to our customer's needs  
19 and expectations. These initiatives focus on improvements to the  
20 processes that touch our customers. For example, Gulf adopted  
21 customer service standards to ensure consistent, reliable, high quality  
22 customer service across Northwest Florida. These standards apply to  
23 areas involving direct contact with customers on a routine basis.

24 With our continued focus on customer satisfaction and customer  
25 loyalty as our top priority, we have reduced customer complaints and

1 avoided FPSC rules infractions. In the past three years, Gulf has had  
2 zero infractions and the complaint activity, as reflected in the FPSC  
3 Consumer Activity Report, has remained at very low levels as well. In  
4 addition, Gulf has consistently achieved superior results in independent  
5 customer surveys gauging customer value and satisfaction in our industry.  
6 These superior results include the number one composite ranking among  
7 major utilities just last year as reflected in survey results shown on  
8 Schedule 2 of my exhibit.

9  
10 Q. In what manner do you measure the effectiveness of providing superior  
11 value to customers?

12 A. We rely on two annual surveys conducted by independent market  
13 research firms. In the "Customer Value Survey," Gulf's performance is  
14 compared against the performance of peer utilities that are considered to  
15 be industry leaders. We ranked among the very best in the industry for  
16 residential, general business, and large business customers as shown in  
17 Schedule 3 of my exhibit. Gulf takes great pride in being ranked as an  
18 industry leader for delivering value to our customers as reflected in  
19 Schedule 2 of my exhibit.

20 With the information provided by these surveys, we are also able to  
21 review different areas of our business for process improvements as  
22 identified by our customers. This is another example of Gulf's  
23 commitment to provide our customer superior value.

24 The second survey, "The Public Confidence Survey," measures  
25 customers' opinions on various facets of our business. Gulf's customers

1 recently gave the Company its highest satisfaction ratings in more than  
2 five years. ~~Eighty-five~~ <sup>Eighty-eight</sup> percent of our customers surveyed in May and  
3 June 2001 had an overall positive opinion of Gulf. Gulf uses the survey  
4 information to gauge public perceptions and to help the Company know  
5 where to put more emphasis. Customer service is important to us, and  
6 we appreciate the high marks from our customers.

7  
8 Q. What programs have been instituted in your area of responsibility in  
9 recent years that seek to improve productivity and customer satisfaction?

10 A. Some of the major programs implemented to improve productivity and  
11 customer satisfaction are: Trouble Call Management System (TCMS),  
12 Automated Resource Management (ARMS), and the Customer Service  
13 System (CSS).

14  
15 Q. Please describe TCMS and its efficiencies.

16 A. In 1998, Gulf transitioned from using Distribution Trouble Reporting  
17 (DTR), which was a reporting application only, to TCMS, which is a  
18 distribution management system. TCMS is designed to aid Distribution  
19 Operations Center (DOC) personnel in the analysis of distribution system  
20 outages by predicting the device that operated to isolate the trouble based  
21 on customer calls. TCMS also provides an extensive event history for  
22 customer interruptions, operational actions, and crew actions.

23 Major benefits of TCMS realized thus far are: increased  
24 productivity of Distribution Coordinators through decreased trouble  
25 analysis time; decreased time to initiate crew dispatch; and better

1 communications with the customer. The results have been improved  
2 customer satisfaction and increased productivity of field personnel.

3 Since TCMS went into service in 1998, data relative to customer  
4 interruptions has been accumulated. This data includes system and  
5 customer information related to trouble events and is automatically stored  
6 in a relational database when a Distribution Coordinator completes a  
7 trouble event.

8 Analysis of the data through both tabular and graphical means has  
9 resulted in the ability to address recurring trouble on a continuous basis.  
10 Reports from the trouble event data are generated as often as needed  
11 and are accessible via the corporate Intranet.

12 According to our customers, Gulf's performance in response to  
13 trouble events is among the best in the industry. In the residential  
14 segment of the customer value surveys referenced earlier, Gulf ranks  
15 second in handling emergencies and third in responding quickly to  
16 problems. In the general business segment, Gulf ranks third in restoring  
17 service quickly after an outage.

18

19 Q. Please describe ARMS and its efficiencies.

20 A. During the last quarter of 1999, Gulf began full-scale implementation of an  
21 automated dispatch system for its field service personnel. ARMS was  
22 implemented after a two-year pilot in the Pensacola District at Gulf and  
23 the Birmingham District of Alabama Power.

24 ARMS consists of three major components: dispatcher  
25 workstations, a digital wireless communications network, and field

1 computers. These components provide the dispatcher with the tools to  
2 manage and electronically dispatch orders to field personnel. Orders are  
3 dispatched to field personnel based on their ability to perform the work,  
4 the equipment required to do the work, the proximity to the work, the  
5 current workload, and our customer commitment date. The dispatcher  
6 knows the current status of field personnel and orders and is able to  
7 balance the work, ensure that our customer commitments are met, and  
8 adjust to changes requested by customers while the order is in the field,  
9 all in real time. Through the use of ARMS, we have improved field  
10 productivity, streamlined the management and tracking of field orders, and  
11 enhanced communication of information on the status of customer  
12 requests.

13           Again, the customer value surveys reflect that Gulf is among the  
14 best in the industry in responding to customer requests. We rank third  
15 among residential customers and sixth among general business  
16 customers in satisfaction with the way service requests are handled.

17  
18 Q. How has the implementation of CSS enhanced customer service?

19 A. CSS was implemented at Gulf in October 1997. This initiative was a very  
20 significant undertaking. Our goal was to fundamentally improve the way  
21 we do business in order to better meet the needs and expectations of our  
22 customers. We worked hard to learn from the experience of other utilities  
23 that had recently upgraded their customer information systems. We took  
24 many proactive steps to ensure effective and efficient implementation of  
25 CSS.

1 Gulf viewed implementation of CSS as an opportunity to review  
2 and improve our business processes within customer service, marketing,  
3 power delivery, and customer accounting. Prior to CSS implementation,  
4 many of our business processes were designed to accommodate the  
5 limitations of our old customer accounting system. Changes in the  
6 business had necessitated extensive modifications to the customer  
7 accounting system, which was over 25 years old and increasingly difficult  
8 and costly to modify. It was important that a new customer information  
9 system be developed to better serve our customers.

10 In addition to the difficulty, risks, and high costs associated with  
11 routine changes to the old customer accounting system, a number of  
12 significant and even more costly changes would have been required in the  
13 existing system if CSS had not been implemented. Interfaces to newly  
14 developed distribution systems such as mapping systems, TCMS, and  
15 ARMS would have required substantial development costs. The old  
16 system would have required significant programming changes in order to  
17 correctly process dates at the turn of the century, routinely referred to as  
18 the "Y2K Problem." This was an opportune time to make the conversion.  
19 Implementing the CSS eliminated the risk of continuing to rely on such an  
20 outdated platform for our customer service and billing activities.

21  
22 Q. What other efficiencies result from the implementation of CSS?

23 A. With the implementation of CSS, Gulf now has all necessary information  
24 about customers located within one database. CSS includes extensive  
25 information about each customer, each location or premise where service



1 is provided, and each account. Many of the enhancements included in  
2 CSS were for the purpose of increasing flexibility of the billing process.  
3 Our ability to implement changes to electric rates has been significantly  
4 improved. CSS puts in place a foundation that allows us to be more  
5 responsive to our customers and meet future business needs. The  
6 technical architecture of CSS has allowed us to easily extend the reach of  
7 our customer contacts to the Internet. Much of the same information used  
8 by our customer service representatives can now also be accessed  
9 directly by our customers. CSS meets the needs of a growing population  
10 of customers who prefer to transact business electronically via the Web,  
11 doing business in a way that is not restricted to company business hours  
12 or locations.

13

14 Q. Are there other benefits from CSS?

15 A. Yes. We have recently completed the interface of ARMS with CSS.  
16 When a customer's request is completed in the field, the customer's  
17 account in our billing system is automatically updated to reflect the  
18 changes made by the field personnel. This paperless transaction has  
19 ensured that our customer service representatives in our Customer  
20 Service Center (CSC) have real-time information on the status of orders  
21 and has dramatically reduced the number of customer requests that must  
22 be manually completed by a clerical employee in the office.

23 Just as our business continues to change, so will the need to  
24 change and enhance CSS. Our intent was not only to implement a new  
25 system that met our current needs but to also position us for the future.

1 We have achieved successful implementation and are now focused on  
2 using the system to its fullest potential.

3 As in other areas, our performance regarding the handling of  
4 service requests and billing processes is strong. Gulf was ranked number  
5 one by residential customers and seventh by general business customers  
6 on handling customer service requests right the first time. We rank fourth  
7 in the residential segment and third in the general business segment on  
8 overall satisfaction with the billing statement and payment process.

9

10 Q. Are there any other major economies and efficiencies of a general nature  
11 that have affected your area of responsibility?

12 A. Yes. Gulf has centralized the Dispatch Center and the CSC in an effort to  
13 streamline these business processes and improve customer service.

14

15 Q. How has Gulf's centralization of the Dispatch Center improved service to  
16 customers?

17 A. Gulf centralized its Dispatch Center operations from eight separate  
18 locations into one to improve customer service by offering expanded  
19 dispatch hours, establishing one point of contact and improving the ability  
20 to move crews across our service territory to get the work done efficiently.

21 This centralized operation offers the advantage of having one entity  
22 with oversight for all field order work, providing the ability to balance the  
23 workload, establish priorities, and ensure that the appropriate resources  
24 are available. Centralized dispatch is the one point of contact for order  
25 information required by customers and company personnel. This entity is

1 responsible for follow-up with the customer and appropriate company  
2 personnel when events prevent successful completion of a customer  
3 request. This ensures corrective action can be taken as quickly as  
4 possible.

5 To further emphasize our commitment to customer satisfaction,  
6 goals were established for meeting customer appointments and  
7 completing lighting and service orders as scheduled. The goal for being  
8 on time to appointments with our customers is 95 percent. As of July  
9 2001, Gulf has exceeded this goal and is currently making more than  
10 99 percent of its appointments on time. Our goal for completing lighting  
11 and service orders within their committed service dates is 95 percent. As  
12 of July 2001, we are at 97 percent for service orders and at <sup>98</sup>94 percent for  
13 lighting orders.

14  
15 Q. Has Gulf's centralization of the CSC improved service to customers?

16 A. Yes. Gulf centralized its customer service calls from three locations to  
17 one CSC in 1994. The call volume, along with our initiatives on cost  
18 reduction, posed a challenge to our commitment for customer care as an  
19 exceptional service provider.

20 To address this challenge, Gulf reevaluated the call handling  
21 process. It was clear that the existing Automated Call Distributor (ACD),  
22 which was nearly 10 years old, would not allow us to keep pace with call  
23 volume. Replacement of this technology in conjunction with the  
24 centralization of the call handling process was a solution to provide better  
25 customer service and increased operational efficiencies.

1 Benefits of this strategic direction include: expanded customer  
2 service coverage to 24 hours a day, seven days a week; improved call  
3 handling; reduced customer wait time; and fewer abandoned calls. In  
4 addition, the centralized CSC improves consistency, simplifies our  
5 business processes and provides one point of contact for our customers.  
6 Technology provides for setting call priorities; routing more difficult calls to  
7 more experienced agents; and automating call handling. Using the  
8 system helps to control personnel costs and provides the benefit of  
9 networking possibilities with sister companies.

10 The performance of our employees in the CSC is largely  
11 responsible for our industry leader rankings in the customer value  
12 surveys, because this is where the vast majority of our contacts with  
13 customers take place. Gulf ranks first in the residential segment and  
14 second in the general business segment on overall satisfaction with the  
15 knowledge and skills of our employees. We ranked second in both the  
16 residential and general business categories for ease in doing business  
17 and received a number one ranking on treating our customers with  
18 respect. In addition, since the centralization of the CSC, we have  
19 consistently achieved our service level goal, which is at least 80 percent of  
20 all calls answered within 30 seconds or less. Gulf has also maintained an  
21 abandoned call rate of less than 3 percent.

22  
23 Q. Have any new major training initiatives been instituted in your area of  
24 responsibility in recent years?

25 A. Yes. In 1998, earned progression programs were established for the

1 classification of Apprentice, Line Technician and Service Technician  
2 personnel in Gulf's Power Delivery Department. We have also  
3 established comprehensive training programs for Field Service  
4 Representatives and Customer Service Representatives who have day-to-  
5 day contact with our customers. We educate our employees on the  
6 specific skills, tools, and values needed to understand and exceed  
7 customer expectations.

8

9 Q. Please describe the earned progression training program.

10 A. In earned progression, the knowledge and skills necessary to successfully  
11 complete each job task for each job classification are defined. Employees  
12 are trained in the classroom, in a simulated training facility, through self-  
13 study, and on the job. On the job training is a structured program  
14 conducted under the guidance of a technically qualified person. At  
15 prescribed intervals for each classification, the employee must  
16 successfully complete written and demonstrated skill assessments on  
17 these job tasks in order to progress. Earned progression has proven to  
18 be so successful in developing job competency that it has been expanded  
19 to cover substation electricians.

20

21 The major benefit of earned progression programs is that it  
22 provides a thoroughly planned approach to training that is specific to the  
23 knowledge and skills required of each job classification. This training  
24 provides consistent work methods across the Company and improves  
25 adherence to construction and safety standards. Earned progression also  
provides the incentive to learn by allowing employees that demonstrate

1 mastery of job knowledge and skills to be promoted once minimum time  
2 requirements to gain experience have been met.

3

4 Q. How has Gulf worked to improve productivity and efficiency in Distribution  
5 related construction and maintenance activities?

6 A. In 1991, a task force was put together to analyze how to improve the  
7 productivity and effectiveness of line and service crews. The goal was to  
8 evaluate all factors that influence productivity for line and service crews in  
9 order to cost effectively achieve construction and maintenance goals that  
10 meet customer satisfaction expectations.

11 The task force recommendations included: two-man line crew  
12 standardization, utilization of one-man line crews for routine maintenance,  
13 one-man service crew standardization, improved job planning and  
14 scheduling, and better equipment selection such as the use of material  
15 handling trucks and one-man crew service trucks.

16 In 1993, Gulf began transitioning from three-man line crews to two-  
17 man line crews and from two-man service crews to one-man service  
18 crews throughout the company. Through the use of two-man line crews  
19 and one-man service crews, we have improved field productivity and  
20 shifted personnel to reduce the need for overhead line construction  
21 contractors. This allowed us to meet or exceed customer commitments,  
22 and also keep costs at a reasonable level.

23 In order to utilize the one and two-man crew concept, improved  
24 equipment and communication devices were required. The radio repeater  
25 concept served as the communication device until the installation of the

1 new 800 megahertz radio system. Based on specifications that best met  
2 the work requirements for line and service crews, decisions were made to  
3 provide line crews with 55 foot material handling trucks and service crews  
4 with trucks equipped with 38 foot squirt booms and torsion bar  
5 suspension. The material handling trucks are equipped with a winch and  
6 jib combination, which allows a two-man crew to do work that otherwise  
7 would require additional personnel on the job site. The torsion bar  
8 suspension on the service trucks eliminates the use of outriggers and  
9 reduces the time associated with setting up the truck at the job site. The  
10 service trucks include remote engine start up and emergency lowering of  
11 the boom if the system fails. The safety and security of all employees  
12 assigned to perform line and service activities continues to be a top  
13 priority at Gulf Power.

14  
15 Q. Please describe the 800 megahertz radio system.

16 A. Gulf's new radio system was added in 1995, allowing multiple call groups  
17 and improving the ability to communicate during high traffic times. This  
18 radio system has proven to be critical in storm situations allowing the  
19 Company to form individual communication teams, which can talk to each  
20 other without interfering with other workers in an effort to speed up the  
21 restoration process. These handheld units improve communications  
22 between work crews, the DOC and support personnel. Improved  
23 communications associated with the use of these radios is also one of the  
24 reasons that electric service to Gulf's customers is restored so quickly  
25 after hurricanes and other emergencies.

1 Q. What other efficiency changes have been implemented in the line service  
2 area?

3 A. After a successful pilot program in 1993, the Company implemented a  
4 company-wide distribution line work planning and scheduling system.  
5 This included a planner/scheduler concept, which was implemented.  
6 Through improved scheduling of construction projects, we have increased  
7 customer satisfaction, reduced unnecessary travel and non-productive  
8 time for crews, and increased overall efficiencies in the engineering  
9 design and support process.

10

11 Q. Please summarize your testimony.

12 A. The adjusted requested level of \$33,048,000 in distribution expenses and  
13 the \$42,663,000 in capital expenditures for my area of responsibility in the  
14 test year are reasonable, prudent, and are necessary for Gulf to continue  
15 to provide superior customer service and high reliability to our customers.  
16 These levels of O & M expenses and capital expenditures are  
17 representative of future levels required in the period the new rates will be  
18 in effect. Gulf's customer service standards and applications ensure  
19 consistent, reliable, high quality customer service across Northwest  
20 Florida. One of our primary business goals is to be an industry leader in  
21 customer service and customer satisfaction. Over the past few years, we  
22 have added new technologies and changed our work methods to keep up  
23 with the growth in our service territory and the changing expectations of  
24 our customers. We take great pride in being ranked at the very top of our  
25 industry in delivering value to our customers. Our business results and



1           commitment to continued improvement demonstrate our past, present,  
2           and future commitment to providing electric service of superior value.

3

4   Q.    Mr. Fisher does this conclude your testimony?

5   A.    Yes.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. STONE:

2 Q Mr. Fisher, would you please summarize your  
3 testimony.

4 A Yes. Thank you. Good afternoon, Commissioners.  
5 Gulf Power Company through its employees and management has  
6 worked very hard to meet our customers' expectations by keeping  
7 rates low, maintaining very reliable electric service, and  
8 providing superior customer care. This has been accomplished  
9 without requesting a rate increase from this Commission for  
10 12 years.

11 During this 12 years, the distribution resources of  
12 Gulf Power have been managed in a fashion that has allowed for  
13 investments in new programs and technologies to improve  
14 reliability, improve customer service, and improve workforce  
15 productivity and efficiency. Such programs and technologies  
16 are the pole line inspection and maintenance program,  
17 underground cable injection process, the trouble call  
18 management system, the automated resource management system,  
19 and our earned progression training program. This has been  
20 accomplished by controlling costs and certain basic  
21 distribution programs without sacrificing reliability.  
22 However, this pattern cannot continue, in particular,  
23 considering the growth of the distribution system due to  
24 customer and load additions and the fact that the majority of  
25 our system is now 12 years older. The point has been reached

1 that the funding levels of these fundamental programs must be  
2 increased in order to keep from deteriorating our system  
3 reliability.

4           While Gulf has moved forward with innovation, there  
5 is still a great need to increase or restore the funding and  
6 traditional reliability programs such as tree-trimming and  
7 substation maintenance. These programs are fundamental to  
8 providing adequate and reliable service to our customers.  
9 These programs are more important than ever because our  
10 customers' expectations have risen.

11           The increased use of personal computers, electronic  
12 processed controllers, computerized cash registers, and digital  
13 clocks has changed the definition of power quality in our  
14 society. Today, our customers desire an uninterrupted supply  
15 of power 24 hours a day, 7 days a week, 365 days a year. That  
16 means no outages and no blinking clocks. That's a tough  
17 standard to live up to.

18           In recent years, warning signs clearly indicating the  
19 need for increased distribution funding have begun to appear.  
20 The customer minutes of interruption associated with  
21 tree-related outages has increased significantly. The  
22 maintenance and testing of substation equipment has fallen  
23 behind schedule. We still have 60,000 creosote and penta  
24 treated poles remaining to be inspected and assessed.

25           At Gulf Power, we are particularly proud of our

1 achievements in being an industry leader and providing superior  
2 customer care. We are proud that survey data indicates that  
3 we're at the very top among our peer group, that our complaint  
4 activity as reported by this Commission is low with no  
5 infractions in almost four years, and that during the customer  
6 service hearings in Pensacola and Panama City, not one customer  
7 had a negative comment about our electric service or our  
8 customer care.

9           Being an industry leader in customer satisfaction is  
10 important to us and is a primary business goal. In order for  
11 us to maintain this performance, we must adequately fund our  
12 distribution programs. The amount for distribution expenses  
13 requested in this case are reasonable. They are prudent and  
14 they are necessary for us to maintain a level of reliability  
15 that is acceptable to our customers. Thank you.

16           CHAIRMAN JABER: Thank you.

17           MR. STONE: We tender Mr. Fisher for  
18 cross-examination.

19           CHAIRMAN JABER: FEA.

20           MR. ERICKSON: No questions.

21           CHAIRMAN JABER: Mr. Gross.

22           MR. GROSS: No questions.

23           CHAIRMAN JABER: Okay. Mr. Gross, it just occurred  
24 to me, you would have gotten up there if you had any questions,  
25 so I'm going to just wait for to you to tell me.

1 MR. GROSS: Okay.

2 CHAIRMAN JABER: Okay. FIPUG.

3 MR. PERRY: No questions.

4 CHAIRMAN JABER: I didn't mean to leave you out,  
5 Mr. Gross.

6 Public counsel.

7 CROSS EXAMINATION

8 BY MR. BURGESS:

9 Q Mr. Fisher, you are listed as one of the witnesses to  
10 respond to Issue 34. And in that response, one of the things  
11 said is that achieving a high level of performance is a  
12 fundamental and vital element in providing electric service to  
13 customers. I assume that's consistent with your testimony in  
14 your own words that one of the primary corporate goals is to be  
15 an industry leader in service and customer satisfaction; is  
16 that correct?

17 A Yes, sir.

18 Q Now, is this a corporate goal that has just begun, or  
19 is this a corporate goal that Gulf has adhered to for some  
20 time?

21 A It's a corporate goal that we have adhered to for a  
22 number of years.

23 Q Okay. So this is a corporate goal that you've had  
24 through the 1990s; is that correct?

25 A That's correct.

1 Q I have some questions on some of the specific items  
2 that you have attached as Exhibit FMF-1, Schedule 4 to your  
3 testimony, and I guess that's been identified as Exhibit 32 for  
4 the hearing -- or 33. Specifically -- you have a copy of that;  
5 correct?

6 A My Schedule 4?

7 Q Yes, sir.

8 A Yes.

9 Q May I get you to look first at Page 5 of that? This  
10 indicates that previously there was a task that had been --  
11 that, D-O-S, DOS-based mapping system had been used; is that  
12 correct?

13 A That's correct.

14 Q Now, I understand this to indicate that that  
15 DOS-based mapping system is no longer being used; is that  
16 correct?

17 A We're in the process of transitioning to this new GIS  
18 system.

19 Q Okay. So at this point, there are some expenses  
20 associated with that, but you expect them to dwindle?

21 A That's correct.

22 Q Now, where is the DOS system accounted for in your  
23 expenses in the accounts?

24 A I believe that would be in FERC Account Number  
25 588190.

1 Q Okay. What is the account for this electric  
2 geographic information system? Is that the same account?

3 A I believe that would be the same account, yes.

4 Q Okay. So while we would look at this as a  
5 \$172,000 justification as an increase of the GIS system, we  
6 would also anticipate a reduction of the DOS-based mapping  
7 system at some point in the future; is that correct?

8 A This would be an incremental cost above the DOS  
9 mapping system.

10 Q I see. So this is not the total adjustment for the  
11 GIS system?

12 A That's correct.

13 Q Okay. Can I get you to look at Page 7, please. This  
14 indicates the need to -- in Paragraph 2 of the described  
15 justification, indicates a need to install additional seven  
16 substation transformer banks and a number of other items. Can  
17 you tell me what these items are for? What is the purpose of  
18 this? Is this replacement -- are these replacement items?

19 A These are basically capital additions due to -- to  
20 meet the needs of our customer additions and load growth.

21 Q The expanded customer and load growth?

22 A Yes, sir, that's correct.

23 Q Okay. And in the -- is this incremental above the  
24 amount of anticipated customer growth that's included in the  
25 benchmarking?

1           A     These are projects that have been identified for  
2 specific areas that load is growing with respect to customer  
3 additions for specific projects. It's not a blanket. We're  
4 going to need seven new substation transformer banks. They're  
5 specifically identified projects.

6           Q     To specific customers or to areas that you anticipate  
7 additional customers as well as expanding needs for existing  
8 customers?

9           A     It would be to specific areas where we have done load  
10 studies and expect load growth and customer growth to occur.

11          Q     And isn't one of the benchmark -- one of the  
12 benchmark elements a customer growth element?

13          A     That is correct. But the reason for the additional  
14 increment in the expenses is that we're going -- we have been  
15 doing our own construction program with respect to using our  
16 own employees versus a contractor. And what we're beginning to  
17 do is, we're beginning to transition our employees back away  
18 from construction in order to put them on maintenance because  
19 we have fallen behind on our maintenance schedule, and that's  
20 what this schedule is portraying, our distribution substation  
21 maintenance.

22          Q     For the load growth that you're anticipating?

23          A     For all of our substation maintenance. Not just the  
24 load growth, the entire system.

25          Q     Would you look at Page 10, please, of the same



1 schedule. This is the injection of the silicon fluid for the  
2 underground cable. And you anticipate that this will reduce --  
3 in this explanation reduce the likelihood of outages caused by  
4 premature failure?

5 A That's right, for specific cables.

6 Q Do you have -- where would you look to see where the  
7 expense -- determine whether this is justified to see where the  
8 expense is reduced for the outages?

9 A The cable injection process is designed for specific  
10 cable application on cable that was installed prior to 1985. A  
11 cable after 1985 is a jacketed cable. And the cable that we  
12 are looking to inject would be a cable that would be less  
13 costly to inject that cable versus replace that cable.

14 Q So in the cost analysis -- cost-benefit analysis,  
15 that's what you would look at to determine whether this is a  
16 less expensive program than replacement; is that correct?

17 A That's correct.

18 Q And where would the costs associated with -- where  
19 would the avoided costs associated with not needing to deal  
20 with repairing the outages be found?

21 A The associated costs could be that we would have less  
22 capital cost because we would have injected the cable versus  
23 replace the cable.

24 CHAIRMAN JABER: Mr. Burgess, is your question as  
25 simple as, where in the MFRs would we be able to see the cost?

1 MR. BURGESS: First, I just want to understand  
2 conceptually what I would look for to determine what the  
3 avoided costs are as a result of engaging in this program. And  
4 I understood from his last answer that I wouldn't look to any  
5 expenses, I would look to capital costs.

6 BY MR. BURGESS:

7 Q Is that right?

8 A You would possibly have reductions in some overtime  
9 because of the outages that would occur after normal working  
10 hours, we would have injected the cable versus working an  
11 outage on overtime.

12 Q If I could direct you to the last page of this  
13 exhibit, Page 11, please. And this is the pole line inspection  
14 program. I think that you referenced this in your summary.  
15 Can you tell me just quickly -- this is a program that's been  
16 going on for some time, since 1991; is that correct?

17 A Yes, that is correct.

18 Q And do I understand correctly that the decision has  
19 been made to accelerate this program; is that correct?

20 A The program as we started it in 1991, we had  
21 originally planned for it to be on a ten-year program cycle.  
22 We have not been able to achieve that ten-year program cycle.  
23 So what we would like to do is to be able to inspect and assess  
24 and either repair or replace the remaining 60,000 creosote and  
25 penta treated poles on our system within this five-year

1 program, and then restart the process again with the poles that  
2 we had originally inspected and treated.

3 Q Now, had you been able to achieve your initial goal  
4 of a ten-year plan, it would have been completed in the year  
5 2001. Was that the initial thing?

6 A That's correct. And then we would have started over  
7 again with the inspection program.

8 Q Now, is it -- as I understand it from this, that you  
9 intend to treat, repair, or replace the remaining 60,000 poles  
10 in the next five years; is that right?

11 A Yes, sir, that's correct.

12 Q So it's 12,000 poles a year?

13 A That's correct.

14 Q And up to this point, it's been 48,000 poles in the  
15 first 10 years of the effort; is that right?

16 A That's correct.

17 MR. BURGESS: Okay. Thank you very much, Mr. Fisher.  
18 That's all I have.

19 CHAIRMAN JABER: Okay. Staff, go ahead.

20 MR. HARRIS: Thank you, Chairman.

21 CROSS EXAMINATION

22 BY MR. HARRIS:

23 Q Following OPC's questions, I have a couple for you  
24 regarding distribution expenses, specifically Issues 64 through  
25 68, more or less. And the first question I'd like to ask you

1 is, regarding the substation maintenance, tree-trimming, and  
2 streetlights and outdoor lighting expense, would it be fair to  
3 say that these expenses are similar in that they are ongoing  
4 rather than a certain number with a fixed ending date?

5 A Yes. All of our preventive maintenance programs  
6 would be ongoing.

7 Q Okay. Well, then, you would say that cable injection  
8 and the pole line -- I'm sorry, the line pole inspection  
9 program are ongoing also?

10 A That is correct.

11 Q Okay. Can you explain to me why you believe the  
12 cable injection program would be an ongoing expense?

13 A It would be ongoing in the sense that at some point  
14 in time you would have to go back and reevaluate the number of  
15 outages that you were having on all your cables, including  
16 those that would be those that had been injected or would be  
17 injected.

18 Q It's my understanding that at this point, Gulf has  
19 identified some 28 miles of cable that needs to be injected; is  
20 that correct?

21 A That's correct. We've identified 28 miles of cable  
22 that's a good prospect for being injected.

23 Q And you anticipate doing approximately four and a  
24 half miles per year of injection; is that correct?

25 A That's correct. And it would take us a little over

1 6 years to get through with the remaining 28 miles.

2 Q But is it your testimony today then that at the end  
3 of that six years, you anticipate there will be some continuing  
4 expense regarding cable injection?

5 A We would have continuing expense with respect to our  
6 cable inspection process, that would be correct.

7 Q Would it be the same level of expense that the --  
8 that you're asking for in your test year which involves not  
9 only inspection but also the treatment of the cables through  
10 the injection process?

11 A No, it would not.

12 Q So would it be fair to say that at some point after  
13 those six years the amount of expense associated with cable  
14 would decrease?

15 A Yes, that would be very fair to say.

16 Q Okay. And with respect to the line pole inspection,  
17 is that of a similar nature to the cable, wherein after you get  
18 through the 60,000 poles, the amount of expense will decrease,  
19 or will that amount stay constant?

20 A With -- the pole inspection program is a little  
21 different because we've got -- with the cable injection, we've  
22 got a finite number of miles and feet of cable that we're  
23 dealing with. With our pole plant, our pole plant is  
24 continuing to grow. And we've got those 60,000 that we would  
25 look at over the five-year period; plus we would start over

1 with all the other poles that have already been done; plus with  
2 the new poles that have been installed, the CCA poles, at some  
3 point in time, we're going to have to begin the same process  
4 with them.

5 Q It's my understanding from your previous deposition  
6 that you at this point have no idea what the life span for  
7 those CCA poles is; is that correct?

8 A At this point in time we do not, you're correct.

9 Q So your testimony today is, you're anticipating a  
10 fairly level amount of cost for line pole inspections, although  
11 you don't know what the CCA costs are going to be; is that  
12 correct?

13 A That's correct. But part of that is tempered with  
14 the fact that we've added so many additional poles during this  
15 last 12 years that are CCA and we still need to do an  
16 inspection program on them at some point in time. And at the  
17 end of the five-year period, the poles that we install, the new  
18 CCA poles, will be in excess of 20 years old.

19 Q So would you say that the amount that Gulf Power is  
20 asking for in base rates for line pole inspection expense will  
21 remain constant past the years budgeted for replacement -- for  
22 inspection of the 60,000 poles at this time?

23 A My best estimate would be that based on the fact that  
24 we would have to start over with the cycle and the poles that  
25 have been added to our system, just the sheer volume would

1 dictate that the expenses would need to be increased over what  
2 we have been doing previously.

3 Q And then regarding your street and outdoor lighting,  
4 would it be fair to say that the number of bulbs replaced in  
5 previous years would be a good indicator of the number of bulbs  
6 that would need to be replaced in the test year and beyond?

7 A That would be fair to say if the number of  
8 streetlights remained constant, but we've seen a phenomenal  
9 growth in the number of streetlights that we have installed on  
10 our system primarily due to inner city redevelopment and the  
11 establishment of MBSUs and those kind of taxing units where  
12 they add hundreds of lights at the time. But if the number of  
13 lights remain constant, then, yes, representative of previous  
14 years it would stay the same, but you've got to factor in your  
15 growth in lights in there also.

16 CHAIRMAN JABER: What percentage increase would you  
17 say in streetlights you've had from year to year if we were to  
18 find a way to factor in the growth in the streetlights?

19 THE WITNESS: From 1990 until the present day, we've  
20 had a growth in streetlighting of about 263 percent. So, I  
21 mean, that's -- it's far out grow (sic) the number of -- our  
22 average number of customers that we grew on a percentage basis.  
23 I mean, it's grown dramatically.

24 MR. HARRIS: Thank you, Commissioner -- thank you,  
25 Chairman.

1 BY MR. HARRIS:

2 Q I wanted to go on with the line pole issue. Would it  
3 be fair to say that going forward from the test year and beyond  
4 that the proportion of poles that either need to be retreated,  
5 reenforced, or replaced will be relatively constant as the  
6 48,000 which have already been inspected and retreated,  
7 reenforced or replaced by Gulf Power in the past?

8 A Let me attempt to answer your question. I'm not sure  
9 that -- the 48,000 that has been done when we complete the  
10 60,000, we will go back and reinspect them, and as we finish  
11 those, we will go back and reinspect the 60,000. And in the  
12 short term, we will do some spot testing of the CCA poles that  
13 you referred to that we really don't know yet what their life  
14 is.

15 Thus far, the experience we've had has been pretty  
16 good with them, but we will have added so many more poles that  
17 I can't tell you with a great deal of certainty because I don't  
18 know the life of the CCA poles, what the rate of rejection  
19 would be on those, say, after 20 or 25 years. We didn't begin  
20 installing those until 1980. They're just now 20 years old,  
21 and by the time we finish with 60,000, some of them will be 25  
22 years old. So I see this as an ongoing program.

23 Q I'm sorry, I'm afraid I didn't ask my question very  
24 clearly. I'm assuming that in the past your experience with  
25 the line pole inspection program has resulted in a certain



1 percentage of poles needing retreatment, a certain percentage  
2 of poles needing replacement, and a certain percentage needing  
3 reenforcement. My question is, given your experience in the  
4 past 10 years covering 48,000 poles, do you expect that those  
5 percentages will remain constant with the 60,000 poles that  
6 you're going to do in the next 5 years?

7 A I'm sorry, I didn't understand your question before,  
8 but the answer to your question is yes.

9 Q And just to be sure that I'm clear in my mind, what  
10 I'm understanding you to say is, you envision a circular  
11 process where when you finish the 60,000, you will return to  
12 the 48, then you'll go on to the 60, back to what's left of the  
13 48, and it will be a decreasing circle, but the CCA portion of  
14 that will be factored in and start to increase. Is that  
15 essentially what you're trying to say?

16 A Yes, that's accurate.

17 Q Okay. And your testimony is that the cost you're  
18 requesting in the test year and beyond will be accurate on a  
19 going-forward basis due to the circular nature and also the  
20 fact that the CCA poles are coming into the mix; is that  
21 correct?

22 A Yes, that's correct.

23 MR. HARRIS: May I have a moment, Chairman?

24 CHAIRMAN JABER: (Nodding head affirmatively.)

25 MR. HARRIS: Thank you, Chairman.

1 BY MR. HARRIS:

2 Q I have a few more questions for you. If you have a  
3 copy of your deposition transcript which was introduced as, I  
4 believe, Staff's Exhibit Number 12, I'd like to refer you to  
5 Page 16, Lines 20 -- or Lines 18 through 23.

6 A Would you repeat the page and line number, please.

7 Q It's Page 16, Lines 18 through 23.

8 A Okay.

9 Q And the question dealt with the objective  
10 measurement -- the performance of objective measurements versus  
11 those of the surveys that Gulf Power conducts. And my question  
12 to you now is, in your experience, do the objective performance  
13 measurements generally correlate with what your surveys are  
14 telling you as far as customer satisfaction, distribution,  
15 reliability, those types of issues?

16 A I think at this point in time they have correlated.

17 Q Okay. I also understand from your prefiled testimony  
18 and also your deposition that in 1998 there was a fairly large  
19 jump in your SAIDI numbers, which is system average duration of  
20 interruption -- or system average interruption duration index,  
21 and that you attribute that to the changeover to the TCMS  
22 system; is that correct?

23 A That's correct. Prior to the implementation of TCMS,  
24 we used a process that relied more on a manual process versus  
25 an automated process.

1 Q And once your automated process kicked in, your  
2 numbers went up, but they have been coming down since then; is  
3 that correct?

4 A Yes, that's correct.

5 Q And you said that the new system, the TCMS, is an  
6 automated system versus a manual system before?

7 A Yes, that's correct.

8 Q Okay. So would it be fair to say that the numbers  
9 captured before 1998, before the TCMS system, were not as  
10 accurate as the numbers captured after 1998 when the automated  
11 system went in?

12 A That would be fair to say, but an important  
13 temperament to that would be that while we knew that they were  
14 not completely accurate, one of the things that we monitored  
15 very closely was the trend. And the trend in those numbers  
16 were generally downward.

17 Q Okay. Would you say -- would it be fair to say that  
18 the reliability and accuracy of your SAIDI numbers and your  
19 trend in SAIDI numbers after 1998 is more accurate now that the  
20 system is automated?

21 A I would certainly say that the number itself is much  
22 more accurate, and the trend is still beginning to turn  
23 downward.

24 Q In your direct testimony in your deposition, you  
25 testify that your customer surveys are very important to Gulf

1 Power; is that correct?

2 A Yes, that's correct.

3 Q Okay. In your deposition, you testify that -- or you  
4 admit that customer surveys may -- the answers may be based on  
5 a number of factors, including customer perception, at the time  
6 the survey is taken. Would you agree with that?

7 A Yes. There are a number of inputs into what would  
8 determine the customer's perception of the company and how they  
9 would rate the company. I think Mr. Bowden alluded to them in  
10 terms of being low rates, reliability. Other factors would be  
11 how they're treated by our employees when they have contact  
12 with them. So there are a number of things, yes.

13 Q Would it be fair to say that the survey methods are  
14 taken manually as opposed to an automated method?

15 A Yes. The surveys are taken via telephone interviews.

16 Q So given that, would you agree that the survey  
17 results which Gulf Power uses may have a higher degree of  
18 inaccuracy or be less accurate than a method that was taken  
19 automatically by some measurable device or machine?

20 A I would say that the surveys meet certain statistical  
21 parameters which I believe that Ms. Neyman can better address.  
22 They meet certain guidelines as provided by oversight bodies in  
23 surveying that do their best to mitigate the process not being  
24 fully automated. But in terms of which number is much more  
25 accurate, almost by definition, the new way we do SAIDI would

1 be more accurate because you are relying on customers'  
2 perceptions through a survey.

3 Q Would you agree that a different method of taking the  
4 surveys could yield a dramatic difference in the results  
5 similar to Gulf Power's difference in collecting SAIDI numbers  
6 pre-TCMS and post-TCMS?

7 A If the survey methodology continued to utilize the  
8 statistical parameters, the same statistical parameters, and  
9 met the same requirements as the appropriate oversight bodies  
10 would have, then I would say that the survey results may differ  
11 somewhat, but I wouldn't expect it to be a great difference.

12 Q But if those methods or parameters changed, then the  
13 results could change dramatically; is that correct?

14 A If the methodology changed dramatically, I would  
15 imagine so.

16 Q Okay. And I believe your testimony from the  
17 deposition was that the survey methods and their processes and  
18 their results are proprietary information from the company that  
19 take those surveys; is that correct?

20 A That's correct.

21 Q And that Gulf is allowed access to basically only the  
22 results; is that correct?

23 A Yes, that's correct.

24 Q Okay. And you had --

25 A But once again, to get into much detail on the

1 surveying process, Ms. Neyman would be the more appropriate  
2 witness.

3 Q But you have attached to your Exhibit FMF-1 the  
4 results from some customer surveys; is that correct?

5 A Yes, sir, that's correct.

6 Q Okay. And you're relying on those surveys in order  
7 to request your adder for exceptional customer service as an  
8 adder to return on equity; is that correct?

9 A Yes, that's correct.

10 Q So would you characterize these surveys which you  
11 attached as being the equivalent of minimum filing requirements  
12 or some such?

13 A I didn't hear the last part of your question.

14 Q Would you characterize the survey results which  
15 you've attached as an exhibit to be the equivalent of minimum  
16 filing requirements or some such?

17 A With respect to the adder?

18 Q Yes.

19 A Yes, I would.

20 Q Okay. Are you aware that the minimum filing  
21 requirements are verifiable by Staff as to not only the numbers  
22 themselves but also the ways those numbers are calculated, the  
23 inputs for those numbers and those type of things?

24 A Yes.

25 Q Are you testifying that you believe that the survey

1 results which you provided as a part of your Exhibit FMF-1 are  
2 the equivalent of those MFRs for purpose of Staff verification?

3 A I'm relying on the fact that the consulting firms  
4 that do these surveys for us utilize appropriate statistical  
5 methodologies and they meet certain oversight requirements.  
6 And we would certainly be willing to work with Staff and the  
7 Commission with respect to gaining as much access to that  
8 information as we could.

9 Q But you don't personally know the process by which  
10 that information is gained, do you?

11 A No. Ms. Neyman may could shed more light on that for  
12 you.

13 Q But you don't know the methods that's proprietary  
14 information?

15 A I personally don't know. But once again, she could  
16 probably be more assistance to you.

17 Q Okay. Do you know whether the intent of those  
18 customer surveys was to assist Gulf Power in justifying an  
19 adder to return on equity?

20 A No, it was not. We had been utilizing those surveys  
21 for a number of years. One of the major benefits that we get  
22 out of those surveys is diagnostic in nature to help us  
23 understand the expectations that our customers have, and we  
24 have changed programs and processes to accommodate that. As I  
25 earlier mentioned about e-bill, that was one of the direct

1 results of our customer survey. We've allowed credit card  
2 billing. We've changed our call center operation to a 24/7  
3 operation based on those surveys.

4 Q Do you know if the persons who conducted the surveys  
5 were informed that Gulf Power was going to request an adder to  
6 return on equity as a result of the surveys?

7 A No, I don't know that. I would not imagine that they  
8 would have been.

9 Q So you would not know then whether the persons who  
10 responded to the survey were aware that their comments might be  
11 used by Gulf Power to justify a higher return on equity?

12 A I believe I stated earlier that we've used these  
13 surveys for a number of years prior to anticipating even having  
14 to be in this forum today, and that our primary reason for  
15 using those surveys is for understanding what our customers'  
16 needs and expectations are.

17 Q I'd like to shift a little bit away from the surveys  
18 and get back to the TCMS, or the trouble call management  
19 system, itself. And I understand that was a fairly significant  
20 investment for Gulf Power; is that correct?

21 A Yes, that's correct.

22 Q And that the shift, while expensive, has provided a  
23 great deal of information or data to Gulf; is that correct?

24 A Yes. The availability of information is much greater  
25 today than it has been in the past.



1 Q And it's assisted Gulf with providing more reliable  
2 service to its customers; is that correct?

3 A We would provide more reliable service in respect to  
4 being able to predict the cause of the outage faster, being  
5 able to more accurately dispatch our crews to the location, and  
6 also to have more diagnostic data available to us with respect  
7 to what caused the outage and where the outages were located.

8 Q So the TCMS system was, in effect, an investment  
9 which has allowed Gulf Power to improve those systems you  
10 mentioned which was of value to Gulf Power; is that correct?

11 A Of value to Gulf and to our customers.

12 Q And to your customers.

13 A And I think to this Commission also in terms of being  
14 able to provide more information with respect to reliability.

15 Q Does that system allow for changes to its operating  
16 system or to its software that could allow Gulf Power to make  
17 changes to the data that it captures or the way it manipulates  
18 data that could be captured?

19 A I'm not aware of that. I haven't really thought  
20 about it.

21 Q I guess my question more simply put is, can you  
22 reprogram it to give you different information?

23 A I really don't know whether we have the ability  
24 ourselves to reprogram it or if we would have to go through the  
25 vendor to have it reprogrammed.

1 Q Would you of your own knowledge know if the TCMS  
2 system could be expanded or upgraded in some way that would  
3 allow you to meet the needs of your customers for increased  
4 reliability, increased performance from your power systems?

5 A I would imagine that the vendor is constantly looking  
6 to enhancements to the TCMS system that would improve our  
7 ability to gather data and analyze data.

8 Q Should the vendor be able to make those changes,  
9 would Gulf Power be interested in implementing those changes in  
10 order to benefit its customers and Gulf Power's reliability?

11 A Under those conditions, certainly we would be  
12 interested.

13 MR. HARRIS: Madam Chairman, may I have a moment?

14 CHAIRMAN JABER: Sure.

15 MR. HARRIS: Thank you, Madam Chairman. We have  
16 nothing further.

17 CHAIRMAN JABER: Thank you. Commission Bradley, you  
18 had questions, I think.

19 COMMISSIONER BRADLEY: Yes. I concur wholeheartedly  
20 that customer satisfaction is a very important component of a  
21 rate case. Mr. Fisher, I have just two brief questions. Can  
22 you tell me about a number of complaints that have been  
23 received by the Commission's Consumer Affairs Department for  
24 the last five to ten years? Is that information that you might  
25 have available?

1 THE WITNESS: Yes, Commissioner I can.

2 COMMISSIONER BRADLEY: Thank you. Would you give it  
3 to me, please, or give it to us.

4 THE WITNESS: Yes. I'm sure that we'd be happy to  
5 provide it.

6 CHAIRMAN JABER: Oh, you don't have it with you right  
7 now is what you're saying. Commissioner --

8 THE WITNESS: No, I have it. I have it.

9 COMMISSIONER BRADLEY: Would you --

10 CHAIRMAN JABER: Can you read it out?

11 COMMISSIONER BRADLEY: -- read it out?

12 CHAIRMAN JABER: No, I'm sorry. Can you read the  
13 number of complaints?

14 THE WITNESS: Oh, I'm sorry. I'll give you whatever  
15 you want, I just need to understand what that is.

16 With respect to, let's say, 1997 forward, we had  
17 33 total inquiries with no infractions -- excuse me --  
18 33 inquiries with one infraction. 1998 we had 24 with 2  
19 infractions. 1991 -- I mean, '99 we had 21 inquiries with no  
20 infractions. 2000 we had 24 inquiries with no infractions.  
21 And 2001 we had 39 inquiries with no infractions.

22 CHAIRMAN JABER: What are you reading from,  
23 Mr. Fisher?

24 THE WITNESS: I am reading from a document that's  
25 just a summary of Gulf's Commission complaints.

1 CHAIRMAN JABER: A PSC-produced document?

2 THE WITNESS: No, it's not a PSC-produced document,  
3 but the data is derived from the PSC-produced documents.

4 CHAIRMAN JABER: Thank you.

5 COMMISSIONER BRADLEY: One follow-up. How -- can you  
6 compare the number of complaints filed against Gulf with the  
7 number of complaints filed against other utilities in the last  
8 five or ten years within the same time frame? Is that  
9 something that's available -- that you have available that you  
10 can --

11 THE WITNESS: I don't have --

12 COMMISSIONER BRADLEY: -- address?

13 THE WITNESS: I don't have that with me, but I'm sure  
14 that the Consumer Affairs Department of the Commission would be  
15 happy to provide it to you.

16 CHAIRMAN JABER: Commissioner Bradley, we've got --  
17 the reason I asked him what document that is, I know that there  
18 are -- Mr. Durbin on our Staff has actually -- has prefiled  
19 testimony --

20 MR. HARRIS: That's correct, Commissioner --  
21 Chairman. Mr. Durbin has prefiled testimony, and I do believe  
22 it contained an exhibit which shows Gulf's performance related  
23 to the other three electric utilities in the State over the  
24 past, I believe, five years.

25 CHAIRMAN JABER: Okay. What we may do,

1 Commissioner Bradley, if you'd like, instead of stipulating  
2 Mr. Durbin's testimony into the record without his being here,  
3 we could address those questions to him and let him explain  
4 that exhibit.

5 COMMISSIONER BRADLEY: That's fine.

6 CHAIRMAN JABER: Any other questions, Commissioners?

7 COMMISSIONER PALECKI: Yes.

8 CHAIRMAN JABER: Go ahead, Commissioner Palecki.

9 COMMISSIONER PALECKI: Mr. Fisher, I want to commend  
10 Gulf Power on your excellent service record, both your lack of  
11 customer complaints here at the Commission and the response we  
12 heard at the customer service hearing, which was almost  
13 overwhelmingly positive, reflects that you and the people that  
14 work for you are doing a very good job.

15 My question is, you've testified that Gulf has fallen  
16 behind in several of your maintenance schedules. And my  
17 question to you is, when did you start falling behind in  
18 maintenance, and why is it not reflected in the level of  
19 customer complaints and the feedback that we receive here at  
20 the Commission?

21 THE WITNESS: With respect to when we began to fall  
22 behind, that's been within the last several years depending on  
23 the program that you are reviewing. Tree-trimming, for  
24 instance, we have begun to fall behind over the last five  
25 years. The reason that we have begun to fall behind is, we've

1 had to -- or we made the decision to fund new programs and new  
2 technologies that would add to our menu of reliability programs  
3 such as the cable injection program and such as the pole line  
4 inspection program. So we've been able thus far to maintain  
5 our reliability to a level that's satisfactory to our  
6 customers.

7           We also work very hard through our employees that  
8 have customer contact to resolve the customer's problems as  
9 expeditiously as possible. Unfortunately, we are at the point  
10 now in our basic fundamental reliability program such as  
11 tree-trimming and substation maintenance that we're beginning  
12 to see a dramatic rise in the number of outages caused by  
13 tree-related incidences. Our substation maintenance has fallen  
14 behind, and we see those as warning signs for the future. Thus  
15 far, we've been able to manage our way through it, but we don't  
16 see that we can continue to do that without funding those  
17 programs to a greater level unless we don't do some of the more  
18 innovative things that we've chosen to do because of the  
19 benefits to the customer.

20           COMMISSIONER PALECKI: So you've fallen behind in  
21 these areas because you've had to take people away from  
22 traditional maintenance schedules in order to do some of the  
23 new programs that you've initiated.

24           THE WITNESS: Not only people but dollars. We've  
25 taken dollars to fund TCMS. We've taken dollars to fund the

1 new ARMS system, the automated resource management system, that  
2 enables us to be more effective in dealing with customer  
3 service issues with respect to the electric service, to  
4 handling trouble faster, to our pole line inspection program  
5 which is vital to reliability, and our cable injection program  
6 which is vital to reliability.

7           COMMISSIONER PALECKI: So are you testifying that you  
8 would expect within the next -- within the immediate future  
9 that we would start hearing negative feedback if you don't  
10 increase your level of maintenance so that you can get back on  
11 schedule in some of these traditional areas?

12           THE WITNESS: I'm convinced of it, Commissioner.

13           COMMISSIONER PALECKI: Thank you.

14           CHAIRMAN JABER: Questions? Okay. Redirect.

15           (Transcript continues in sequence with Volume 6.)

16  
17  
18  
19  
20  
21  
22  
23  
24  
25

- - - - -

1 STATE OF FLORIDA     )  
2                             :             CERTIFICATE OF REPORTER  
3 COUNTY OF LEON        )

4  
5 I, TRICIA DeMARTE, Official Commission Reporter, do hereby  
6 certify that the foregoing proceeding was heard at the time and  
7 place herein stated.

8 IT IS FURTHER CERTIFIED that I stenographically  
9 reported the said proceedings; that the same has been  
10 transcribed under my direct supervision; and that this  
11 transcript constitutes a true transcription of my notes of said  
12 proceedings.

13 I FURTHER CERTIFY that I am not a relative, employee,  
14 attorney or counsel of any of the parties, nor am I a relative  
15 or employee of any of the parties' attorneys or counsel  
16 connected with the action, nor am I financially interested in  
17 the action.

18 DATED THIS 26th DAY OF FEBRUARY, 2002.

19  
20  
21  
22  
23  
24  
25  


TRICIA DeMARTE  
FPSC Official Commission Reporter  
(850) 413-6736