

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 990649B-TP

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


In the Matter of

INVESTIGATION INTO PRICING OF
UNBUNDLED NETWORK ELEMENTS
(SPRINT/VERIZON TRACK).

ELECTRONIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 8

Pages 1057 through 1263



PROCEEDINGS:

HEARING

BEFORE:

CHAIRMAN LILA A. JABER
COMMISSIONER J. TERRY DEASON
COMMISSIONER BRAULIO L. BAEZ
COMMISSIONER MICHAEL A. PALECKI
COMMISSIONER RUDOLPH "RUDY" BRADLEY

DATE:

Tuesday, April 30, 2002

TIME:

Commenced at 9:00 a.m.

PLACE:

Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY:

JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732

APPEARANCES:

(As heretofore noted.)

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NAME:	PAGE NO.
LARRY RICHTER and TERRY R. DYE	
Cross Examination by Mr. Woods	1060
Cross Examination by Mr. Weber	1094
Cross Examination by Mr. Teitzman	1128
Redirect Examination by Ms. Troy	1135
AUGUST H. ANKUM, Ph.D.	
Direct Examination by Ms. McNulty	1145
Prefiled Direct Testimony of Dr. Ankum Inserted	1148

EXHIBITS

1			
2	NUMBER:		ID. ADMTD.
3	58	Loop Cost Comparison	1127
4	59	Loop Conditioning Cost Comparison	1127
5	60	(Late-filed) NMC Cost Comparison	1133
6	56 and 57		1143
7	58 and 59		1145
8	61	AHA-1 through AHA-9 and AHA-12	1147
9	62	AHA-10 (Confidential) and AHA-11 (Nonconfidential)	1147
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

P R O C E E D I N G S

1
2 (Transcript follows in sequence from
3 Volume 7.)

4 CHAIRMAN JABER: Mr. Hatch. Ms. McNulty.

5 MR. WOODS: Thank you and good morning. Ken Woods
6 for WorldCom.

7 LARRY RICHTER

8 and

9 TERRY R. DYE

10 continues his testimony under oath from Volume 7:

CROSS EXAMINATION

11
12 BY MR. WOODS:

13 Q Good morning, Mr. Richter and Mr. Dye. My questions
14 are going to be directed to Mr. Richter unless I otherwise
15 indicate.

16 Mr. Richter, in your summary you mentioned manual and
17 semimechanized as terms, is that correct?

18 A (By Witness Richter) Yes, I did.

19 Q Okay. And that refers to, generally speaking, two
20 different means by which ALECs can order UNEs, is that correct?

21 A That is correct.

22 Q All right. Now, am I correct in understanding that
23 manual means that an LSR, a local service request is faxed by
24 an ALEC to Verizon and then a Verizon representative inputs
25 that fax, the data from that fax into a system, is that

1 correct?

2 A Yes. In a summary manner, yes, that is correct.

3 Q And the system that the Verizon representative inputs
4 that LSR into is referred to by the acronym SIGS, or S-I-G-S,
5 is that right?

6 A That is correct.

7 Q For secure integrated gateway?

8 A Yes.

9 Q Okay. Semimechanized means that the LSR is
10 transmitted electronically by the ALEC into SIGS, is that
11 right?

12 A That is correct.

13 Q And I take it by the use of your term semimechanism
14 that not all the steps in the ordering process for a
15 semimechanized order, in fact, are electronic?

16 A Would you restate that, please.

17 Q In other words, by your use of the term
18 semimechanized, do I understand that one or more steps in the
19 ordering process are not electronic?

20 A Let me answer the question this way, if I may. On
21 the semimechanized it means just as we discussed, the ALEC or
22 DLEC can electronically send the LSR into SIGS. When it gets
23 to SIGS what will happen is if the information is correct and a
24 shell order can be created in NOCV, which is the national
25 ordering and collection vehicle that Verizon uses to process

1 the orders, it will create that order. So, I'm not sure if
2 that answered your question; but if it didn't, please ask me
3 again.

4 Q I will follow up, thank you. Could I refer you to
5 your direct testimony on Page 4, and beginning at Line 5?

6 A I have it.

7 Q And here you are telling us that an electronic order
8 when submitted by an ALEC has to be looked at by a Verizon
9 customer representative to determine the complexity of the
10 order, is that what your testimony is stating?

11 A I want to make sure I've got the right location. You
12 did say Page 4, Line 5?

13 Q Yes, beginning at Line 5.

14 A Would you please restate your question?

15 Q Sure. If I may summarize what you are telling us
16 beginning at Line 4 is -- or beginning at Line 5 on Page 4, is
17 that an ALEC submits an order electronically, and that even
18 though it has been submitted electronically, a Verizon employee
19 has to look at that order or that LSR to determine, as you say,
20 its complexity?

21 A What this is saying is that not every order has to be
22 looked at, but those that are more complex that can't
23 automatically be processed through, would be looked at by a
24 NOMC representative. Yes.

25 Q Now, looking a little bit further down on Page 4,

1 beginning at Line 15, you state that after evaluating the order
2 the customer service representative will designate the two-wire
3 loop example used here as an exchange basic order, which is the
4 simplest type of UNE cost category. Do you see that statement?

5 A Yes, I do.

6 Q Okay. So am I correct in understanding that an ALEC
7 in submitting electronically an LSR that asks for a two-wire
8 loop, that a Verizon customer service representative will look
9 at that order in this process and will determine that it is, in
10 fact, the simplest type of UNE cost category?

11 A Yes.

12 Q Is that something which will happen all the time in
13 the process of an ALEC's submission of an LSR electronically?

14 A It will not happen every time if the order that is
15 sent by the ALEC meets all the requirements as it goes through
16 SIGS and its upfront edits, and the information is correct and
17 there is sufficient information that the order can be
18 electronically created in NOCV and processed.

19 Q There is no type of UNE that can be ordered by an
20 ALEC using a fully mechanized ordering process, though, is
21 there?

22 A That is correct.

23 Q So that we cannot say here that, for example, for a
24 UNE-P order, for a two-wire analog loop, that an ALEC will be
25 able to submit that order electronically, and we may assume

1 that that order will flow through the Verizon ordering system
2 electronically, is that right?

3 A Well, it is submitted electronically. The order can
4 be submitted electronically and it will go through the
5 screening processes in SIGS, and the order will be
6 electronically created in NOCV. I mean, all of those things
7 would be electronically processed.

8 Q When would the human intervention occur with a UNE-P
9 order that has been -- or an LSR which has been submitted
10 electronically by an ALEC?

11 A It would be basically at the end of the process once
12 it comes through and it goes through the electronic portions or
13 equipment that analyzes it and creates the order in NOCV, at
14 that point in time then it would go to the appropriate
15 representative who is available at that particular time to
16 accept and look at the order.

17 Q And why would a representative at that point have to
18 look at the order?

19 A Only if there was an error or if there was -- in the
20 creation of the order in NOCV if there was a field that was not
21 able to be created for lack of information, that the order
22 would be dropped into a service representative's queue. Or if
23 it is a resale, a UNE-P, if there was a misspelling or
24 something on the name or maybe there was a change in the
25 services that were asked for that was different than that was

1 there, then it would drop into the service rep to look at.

2 Q In the examples that you have just given us with
3 respect to a UNE-P LSR, am I correct in understanding that in
4 some of those instances the fallout, if we may use that term,
5 for manual processing will be by design? In other words, that
6 your systems are, in fact, designed to require human
7 intervention?

8 A I wouldn't say they are designed to require human
9 intervention, it is just that as we deal with electronics and
10 so forth, you can't build something electronically to be able
11 to identify everything and every combination that could exist
12 in order to look at it. It is just impossible to have a piece
13 of electronic equipment that would actually screen and be able
14 to correct and make sure everything was correct. You set
15 defaults at certain areas with your equipment, when one of
16 those are reached then it is actually going to fall out or drop
17 into a service rep's position.

18 Q Has Verizon determined -- and I want to talk a little
19 bit more later about fallout. But has Verizon determined what
20 percentage of LSRs which are submitted fall out for manual
21 handling because of the design or because of, shall we say, the
22 present status of Verizon's OSS?

23 A There are reports that tell us why a specific order
24 has fell out so we know the reason why. I would like to say,
25 too, that the OSS systems are constantly under revision so that

1 as these things happen, and as OSS operating system
2 enhancements are made, then those things are taken care of so
3 it would no longer -- if that particular situation came up
4 again, it may not default out because an enhancement had been
5 taken into consideration in the OSS and it would be able to
6 fall through at that point in time. And those enhancements are
7 taking place all the time.

8 Q We cannot say at the present time that for a UNE-P
9 order that Verizon's systems are, in fact, fully mechanized, is
10 that right?

11 A That is correct.

12 Q And you said that there are some reports, if I
13 understood you, internally to look into the fallout that is
14 created for manual intervention. In fact, does Verizon have
15 and has it provided this Commission with any information with
16 respect to the percentage of LSRs for any particular type of
17 UNE that are going to fall out because of the present status of
18 Verizon's OSS?

19 A Subject to check, I believe there was a data request
20 for that information. I don't know if it has already been
21 provided or if it is in the process, but, I believe there was a
22 data request requesting that information.

23 Q I am also correct in understanding, am I not, that
24 there is presently no mechanized system by which an ALEC can
25 ask for line sharing or line splitting, am I correct in

1 understanding that there is no mechanized system for that?

2 A That is correct. It can be sent in electronically,
3 but once it gets into the system it is going to fall out.

4 Q Now, Verizon, in fact, provided the Commission with a
5 percentage of flowthrough in this proceeding, is that right?

6 A There is a percentage of flowthrough in the cost
7 study itself.

8 Q Okay. And the reason that percentage is in the cost
9 study is that it is an adjustment that Verizon makes in order
10 to account for the fallout to manual processing, is that
11 correct?

12 A You can look at it that way. We tend to look at it
13 that it is flowthrough, that is the percent that will actually
14 flow through and not fallout. So, it would be the percent of
15 orders that would actually flow through without a default.

16 Q Am I right in understanding that that flowthrough
17 percentage applies to manual as well as semimechanized
18 ordering?

19 A That is correct.

20 Q In other words, manual and semimechanized orders
21 receive the same percentage adjustment for flowthrough for
22 order processing?

23 A That is correct.

24 Q Help me to understand that, if you would. The
25 flowthrough adjustment that Verizon makes is it for measuring

1 flowthrough only from the time that the order is generated into
2 the NOCV from that time forward?

3 A That is correct. The flowthrough process starts as
4 the input LSR passes through SIGS and gets through the upfront
5 edits. At that point in time it flows into the NOCV system
6 where the actual order would be created. So it matters not
7 whether the ALEC or at our manual center that would actually
8 take a fax and input it, once it got to that point, to the
9 systems all orders look the same regardless of who may have
10 initiated the LSR. So at that point the processing by the type
11 of order and to how much information can be electronically
12 created would be the same depending on the type of order that
13 we had.

14 Q All right. Now, because OSS is certainly confusing
15 to me and I suspect confusing to others, let me kind of walk
16 you through what you just said. An order is -- and let me use
17 the proper terminology, too, that will help. An LSR is
18 submitted by an ALEC, and that LSR may be submitted by fax or
19 it may be submitted electronically, correct?

20 A That is correct.

21 Q And that LSR is submitted -- if it is by fax, it is
22 submitted to a Verizon representative who then inputs it into
23 SIGS, correct?

24 A That is correct.

25 Q If it is submitted electronically, the ALEC submits

1 it electronically into that SIGS gateway, correct?

2 A That is correct.

3 Q And the ALEC may do that through the Internet, is
4 that right?

5 A Yes.

6 Q Or the ALEC may have developed OSS in order to enable
7 the ALEC to input the LSR into that gateway?

8 A Yes, they may have a direct interface.

9 Q Okay. And when that LSR has been submitted into that
10 gateway, it then passes through a series of what we might call
11 as edits or editing types of functions, is that right?

12 A That is correct. We call those frontend edits.

13 Q And for certain types of errors that may be in the
14 LSR, the LSR will not pass through those frontend edits, in
15 fact will be rejected back to the ALEC for further processing?

16 A That is correct.

17 Q There are other edits which can be performed that
18 will enable the LSR, however, to continue in the ordering
19 process on Verizon's side of that gateway, is that right?

20 A Yes.

21 Q Okay. There are certain types of errors, and I think
22 you have referred to them in your testimony as soft errors,
23 which don't result in the LSR being rejected back to the ALEC.
24 In fact, what happens is that the LSR goes to a Verizon
25 representative for some processing?

1 A That is correct.

2 Q Okay. Now, once the LSR has gone through this
3 editing process successfully and only when it has gone through
4 this editing processing successfully does it then pass into
5 this NOCV, is that right?

6 A Yes. And the NOCV basically is where our order is
7 created that will pass through our systems to the various
8 departments in order to complete the work that needs to be
9 done.

10 Q Okay. And the N-O-C-V, or the NOCV that is a legacy
11 system of Verizon, is that right?

12 A That is a Verizon -- it is our national ordering and
13 collection vehicle.

14 Q And it is only when the order -- in fact, when the
15 LSR has become an order is when it is generated into this NOCV,
16 it is only from that time forward that Verizon measures
17 flowthrough for purposes of applying a percentage to this cost
18 study?

19 A If I understood your question correctly, I would say
20 yes.

21 Q Now, after this LSR has metamorphised (phonetic) into
22 an order, it has now gone through NOCV, at that point am I
23 correct in understanding that there can still be errors in that
24 order?

25 A There may have been information that was on the LSR

1 that wasn't caught in the frontend edits that may create a
2 conflict once it gets into the NOCV, which when that would
3 happen it would actually fall out to the rep to resolve the
4 conflict.

5 Q And after an order has been generated into the NOCV,
6 at that point that is the time in any event when manual
7 handling of that order is going to take place. We can conclude
8 that no matter how it was handled before that moment,
9 electronically or manually, at that point it is going to be
10 handled manually for processing, isn't that so?

11 A Yes. If it falls out, and it goes to a rep, the
12 service rep would need to do something to the order which would
13 be manual, and that could be from making the correction,
14 putting in the right information, possibly calling the CLEC or
15 the ALEC to get the appropriate information to make sure that
16 the order would process through as requested.

17 Q Let me back up a moment. Has Verizon contemplated
18 putting into effect additional edits in this process prior to
19 that LSR passing into NOCV that would allow the LSR to be
20 either rejected back to the ALEC or to flow through a Verizon
21 representative in more instances than what presently occur?

22 A Verizon is continuously looking at ways to improve
23 the process that is in place today to ensure that more and more
24 of the orders can be processed mechanically. That is a thing
25 that goes on constantly, and changes are constantly being made

1 and enhancements being made. As those enhancements occur
2 information is put out on the website that CLECs have access to
3 to advise them of the changes and new information that is
4 coming about. That is an on-going process.

5 Q Has the type of process change that I stated or
6 suggested been contemplated?

7 A Please ask your question again.

8 Q A certain number of orders even after passing through
9 NOCV will have errors, that is what we have established, is
10 that right?

11 A Well, they may not fall out simply because there is
12 an error, there may be some orders that the operating system is
13 not designed today to process it mechanically. I mean, there
14 are complex orders that, as I stated earlier, will never have
15 an electronic method to look at all of the inputs on a
16 complicated order. Also, along with that, it may not be
17 cost-effective to have every type of service order to be sent
18 through electronically because the quantity of those type
19 complex orders is very small.

20 The cost to set up the electronic equipment, the OSS
21 in order for it to audit those more complicated orders, it just
22 may not -- it may be very expensive and, therefore, it would
23 not be cost-effective. So, even as we go forward, there is
24 probably always going to be some types of orders that will need
25 some type of manual intervention.

1 Q And that is going to be in Verizon's estimation by
2 design, is that right? In other words, some orders by
3 Verizon's -- in Verizon's thinking will have to fall out?

4 A It is not only Verizon's thinking, I think it is any
5 ILEC. And I'm sure, you know, in an ALEC's environment, also
6 with their OSS systems there is going to be things that they
7 would not be able to electronically do. It is a cost to what
8 are my gains from the cost, so I think there are designs in any
9 system that would have -- you know, take that same approach.

10 Q Okay. But if I understood your testimony, there
11 would be some ALEC errors that cause an order to fall out for
12 manual processing even after the order has been generated into
13 the NOCV?

14 A Yes, there could have been some information, basic
15 information left off that the order could have been created and
16 some field, some information not provided that would have it
17 fallout to the service rep to see if that information could be
18 input.

19 Q And with respect to a failure to provide some sort of
20 required information, that is nothing that could be caught by a
21 frontend editing system or by a Verizon representative prior to
22 the order being generated into the NOCV?

23 A There are some of those fields that are left open in
24 the frontend edits that if it is necessary it is going to
25 reject the order at that time and send it right back to the

1 ALEC for immediate correction that they can resend it.

2 Q Right, and I understand that. But despite the
3 frontend editing system of Verizon, and despite the Verizon
4 representatives who are there, and, of course, you're asking
5 for some cost recovery for in this proceeding, orders are
6 generated into NOCV and even then fallout for ALEC error?

7 A Yes.

8 Q Okay. Now, my question a few minutes ago was is
9 there any process change that is being contemplated by Verizon
10 to increase or improve frontend editing to catch any errors
11 earlier in the process?

12 A And I will say again, improvements in the frontend
13 edits, that is an on-going process of implementing new edits,
14 looking at old edits as the ordering and billing forum, the
15 OBF, as new service orders come into play for new services, as
16 those -- the OBF sets the standard for us to go by as far as
17 ALECs and CLECs on what information is going to be in which
18 cells and so forth. Changes are made to those frontend edits
19 right along with our OSS to accommodate any changes. If there
20 are situations that we can identify where we can effectively
21 put in edits up front, then, yes, we will make efforts to do
22 that.

23 Q But the cost recovery that Verizon is seeking in this
24 proceeding is premised on the present status of your OSS, is
25 that right?

1 A That is correct. And I would like to say that, you
2 know, the cost study was performed in the year 2000. It was
3 filed November the 7th, and as we go along improvements are
4 made and the OSS is updated continuously. It is not something
5 that sits stagnant. So enhancements are made to the systems, I
6 would say, on an on-going basis. I can't say every day because
7 systems are updated on a scheduled process, that being monthly
8 or every two months, and code has to be written and all of
9 those things. But it is an on-going effort by Verizon to
10 ensure that the process, that the OSS and the frontend edits
11 and SIGS are as up-to-date as they can be to catch errors or to
12 fixer errors or to make sure that as many of the orders as can
13 be processed mechanically are processed that way.

14 Q And Verizon has not measured for this proceeding the
15 fallout to manual handling that occurs to an LSR before it
16 reaches the NOCV, is that right?

17 A That is correct.

18 Q Would you agree with me that to the extent that an
19 ILEC relies on manual systems, it has to rely on numerous steps
20 throughout its processes on verification by the ILEC
21 representatives?

22 A Yes, there is verification that is done throughout
23 the whole process, yes.

24 Q And that reviewing the LSR, in fact, is required in
25 every step of Verizon's UNE ordering process?

1 MS. TROY: I'm sorry, maybe it would help if you
2 identify if this is a manual mode or a semimechanized mode.

3 MR. WOODS: Well, it was a general question. It was
4 really to the extent that the ILEC relies on the manual
5 systems.

6 THE WITNESS: Well, when you said manual, I'm
7 thinking of a faxed order into our manual center where our
8 service reps actually input the information that is on the LSR.

9 BY MR. WOODS:

10 Q Let's go with that example.

11 A Okay. And, yes, before the information can be put
12 into the system, the service rep will scan the LSR, make sure
13 the information is correct as they do the input into SIGS.

14 Q All right. And the fact that an LSR passes through
15 the frontend edits, is not rejected back to an ALEC, passes
16 into the NOCV for processing, and then falls out for manual
17 handling, that in itself is going to require the Verizon
18 representatives to review that LSR?

19 A They would have access to the LSR. But when the
20 order that was created in NOCV falls into their screen and they
21 begin to look at it, there is going to be an item that in some
22 way that identifies to them that this is the problem area, and
23 they would resolve it at that time.

24 Q Would you agree that a forward-looking cost study
25 would assume systems that would tend to minimize human

1 intervention?

2 A Yes. And I believe that our cost study and the
3 systems that are available today, our process does that.

4 Q And assuming that OSS was properly functioning, the
5 greater the degree of human intervention would you agree with
6 me the greater the number of errors which can occur?

7 A I will agree with you that the more times in creating
8 a product, the more people that are involved, yes, there are
9 more chances for errors. What we are looking at here is when
10 it gets through our SIGS, everything that could have been
11 created has been done. The only thing that would cause it to
12 fall out to a service rep from that point would be was there
13 some information lacking, was it incorrect, is there a conflict
14 in the order. In one cell we have one piece of information, in
15 another cell we have another piece that is in conflict.

16 Q The errors that occur with respect to Verizon's
17 systems, those are not only ALEC errors, correct? Some of
18 those are errors which would be committed by Verizon
19 representatives, is that right?

20 A I'm not sure what -- if you are referring to our
21 manual center where the faxes come in and if a Verizon service
22 rep inputs the information into SIGS, if there is an error
23 there it is going to kickback to that representative, okay.
24 And if it comes from an ALEC, the same token. Once it gets
25 through SIGS, if there is a problem that is encountered in

1 creating the order in NOCV, then it is going to drop out to a
2 service rep.

3 Q The service reps themselves are not free from errors,
4 though?

5 A Well, I would just say that the service reps that are
6 there, as the order comes into them they are only looking at
7 the errors that was brought to them. They would not be
8 creating anything on that particular order that as it went on
9 down downstream, they wouldn't have the opportunity, if you
10 will, to create the error. Their responsibility is to correct
11 an error or a reason that the order has fell out to that
12 position. Something has happened that it can no longer be
13 processed.

14 Q Sure. And in handling that order at that point, they
15 are not going to be free from error, either, are they? I mean,
16 after all they are only human?

17 A That's true, but it is much less likely that an error
18 would be created when you are only correcting something versus
19 someone who would have put in all or total information to
20 create the total LSR.

21 Q Let me ask you some questions about some specific
22 components that make up the costs that you are seeking in this
23 proceeding with respect to the ordering process for
24 nonrecurring costs. I want to ask you a few questions about
25 preordering. The preordering function is a component of the

1 nonrecurring charge that Verizon is seeking in this proceeding,
2 right?

3 A That is correct.

4 Q Okay. Now, my understanding is based on your
5 testimony that Verizon is telling us that it has already
6 provided ALECs with the ability to query in an electronic
7 format all information that is necessary to process a
8 preordering request, is that a fair statement?

9 A Yes.

10 Q So Verizon allows ALECs to do some preordering in
11 order to find out, you know, a telephone number and reserve it,
12 to verify the street address, and to determine what services
13 are available to that location, is that right?

14 A That is correct. And as you said, they can get the
15 due dates and other basic information for setting up the order.

16 Q Okay. So an ALEC can do that independently of the
17 ordering that may or may not subsequently occur, is that right?

18 A That is correct.

19 Q An ALEC can do the preordering function, can
20 determine whether or not that particular customer and location
21 meet the ALEC's business plan, and could be a potential
22 customer?

23 A That is correct.

24 Q All right. Verizon, however, has included as a
25 component part of its nonrecurring cost, though, for ordering

1 this preordering function, am I right?

2 A That is correct.

3 Q And in that instance, I think Verizon's justification
4 is that an ALEC may fax a request to Verizon seeking the
5 desired information, desired preordering information?

6 A Yes, they can.

7 Q Okay. Now, the ALEC -- well, the ALEC could also
8 electronically seek preordering information, couldn't it?

9 A Yes, it could.

10 Q And it could then decide that it doesn't want to
11 serve that customer or, in fact, can't serve that customer, is
12 that right?

13 A Yes.

14 Q Okay. It could do that completely independently of
15 the ordering process, right? It doesn't have to submit an
16 order subsequently?

17 A No, it does not.

18 Q Okay.

19 CHAIRMAN JABER: Mr. Woods, can you give me an
20 estimate on how much more time you need?

21 MR. WOODS: Not more than one-half hour more.

22 CHAIRMAN JABER: Okay. We are going to take a
23 ten-minute break.

24 MR. WOODS: Okay. Thank you.

25 (Recess.)

1 CHAIRMAN JABER: We are back with Mr. Woods. You
2 were cross-examining.

3 MR. WOODS: Thank you. And, again, my questions are
4 directed to Mr. Richter, although I am going to have a couple
5 for Mr. Dye later on, so you have got to listen.

6 WITNESS DYE: Thank you.

7 BY MR. WOODS:

8 Q I want to ask some questions about another component
9 of the ordering nonrecurring costs for Verizon, and that has to
10 do with the NMC shared fixed cost. Now, Mr. Dye had referred
11 in his summary to an entity I believe he said NOMC, do you
12 recall that? He stated N-O-M-C or NOMC during his summary, or
13 at least my notes reflect that. The NMC, Mr. Richter, is that
14 the National Open Market Center?

15 A (By Witness Richter) You said Mr. Dye, are you --

16 Q Yes, I was just refreshing our recollections, but my
17 questions are directed to you?

18 A Okay. The NMC is the National Market Center,
19 previously we referred to it as the NOMC, the N-O-M-C, which
20 was the National Open Market Center. It was just a change in
21 the name.

22 Q And these are three centers which are located across
23 the United States?

24 A Yes, they are.

25 Q All right. And all three of these centers process

1 orders relating to Florida, is that right?

2 A Yes, ALEC ordering in Florida. The order can go to
3 either one of those centers.

4 Q Okay. And that was my next question. I am going to
5 say NMC, just spell out the letters, you will understand what I
6 am talking about, correct?

7 A That will be fine.

8 Q For National Market Centers. The NMCs process only
9 ALEC orders for wholesale and for UNEs, correct?

10 A That is correct.

11 Q They have nothing to do with Verizon retail orders?

12 A They have nothing to do with Verizon's retail orders.

13 Q And they have nothing to do with any ALEC orders that
14 relate to the premerger Bell Atlantic or NYNEX territories, is
15 that correct?

16 A They have nothing to do with the former Bell Atlantic
17 companies prior to the merger.

18 Q They handle only ALEC orders that relate to the
19 former GTE territory, right?

20 A That is correct.

21 Q So Bell Atlantic and NYNEX, those areas, they have
22 their own center or entity that process or that processes ALEC
23 orders, correct?

24 A To the best of my knowledge, their operation is
25 totally separate from the former GTE properties.

1 Q And am I correct in assuming that Verizon has several
2 more retail customer centers across the country than it does
3 NMCs?

4 A I don't recall exactly how many retail centers we
5 have. I think it is more than three.

6 Q Now, Verizon has determined a cost for the NMCs that
7 are related to the GTE territory and seeks cost-recovery in
8 this case, right?

9 A That is correct.

10 Q The costs that Verizon seeks recovery for, are those
11 estimated costs or are those costs which were actually incurred
12 by Verizon?

13 A The costs themselves are estimates, but those
14 estimates are based on a business case that would have included
15 all of the items that are necessary to turn up and put a center
16 into functionability in order to receive LSR requests from the
17 ALECs.

18 Q Were those estimates made in or about 1996?

19 A I don't know the exact date, but, yes, it would have
20 been somewhere within that time frame because of the Telecom
21 Act of '96.

22 Q And the costs that were estimated, did those include
23 the cost of land for the NMCs, land acquisition?

24 A Do you have a reference in the cost study that you
25 are referring to, a page number or --

1 Q Perhaps I could direct this to Mr. Dye. Mr. Dye, do
2 you know if those estimated costs include costs for land? You
3 may find a reference of -- my notes indicate Steele's direct
4 testimony at Page 18, I believe Line 19.

5 A (By Witness Dye) That gives an example of the
6 building, and the IVR systems, and office furniture and PCs.

7 Q So did those estimated costs include the costs of
8 land acquisition?

9 A I don't know.

10 Q But some building cost was assumed, is that right?

11 A That's right.

12 Q And I will direct these questions to Mr. Dye. As
13 well as costs for computers, phones, furniture and fixtures?

14 A Yes.

15 Q Were there also costs that were assumed for
16 relocations of personnel from other Verizon locations to the
17 NMCs?

18 A I don't know.

19 Q Or for recruiting personnel?

20 A I don't know.

21 Q Mr. Richter, do you know if those costs assume the
22 costs of corporate relocations?

23 A (By Witness Richter) Yes, it would. And the page
24 that you are possibly referring to where all the information is
25 contained is in our Section A1, Page 72 of the cost study.

1 Q Thank you. And do those costs also include the costs
2 of recruiting personnel?

3 A Yes, it does.

4 Q All right. And let me refer these questions to you,
5 Mr. Richter. Some of these kinds of costs that were estimated
6 at that time, they recur over time, do they not? In other
7 words, they are not one-time costs?

8 A Not all of them are one-time costs, no.

9 Q And some of these costs are similar in nature to what
10 we were discussing yesterday as common costs, would that be
11 correct?

12 A You could classify some of the costs as common costs.
13 But in this particular situation where we are dealing with
14 establishing a center solely for the processing of ALEC LSRs,
15 it was the company's decision that the recovery of those costs
16 should be put -- and the processing of those orders should be
17 put on the ALECs to recover those types of costs to set up
18 these centers. So there is not a way to have those as
19 recurring type costs that would only be assessed to those ALEC
20 wholesale LSR customers. So the process of recovering these
21 particular costs is on a nonrecurring basis associated with
22 LSRs that are presented to the NMC center for processing.

23 Q And I want to get to the issue of cost-recovery in a
24 moment, but with regard to this equipment whose costs were
25 estimated back in 1996, some of that equipment, the furniture,

1 fixtures, and computers, and so forth, as well as the buildings
2 themselves, obviously those could be used for other functions.
3 They don't have to be used just as an NMC for processing ALEC
4 orders, would you agree with that statement?

5 A No, I wouldn't. Because once the NMCs are
6 established and become a functional part of the things that it
7 is supposed to do, those are the type people that you would put
8 there. You wouldn't have the capacity to bring other people in
9 because the equipment and the design and the whole function of
10 that facility would be to take ALEC wholesale orders.

11 Q The people, the land, the building, and the
12 equipment, all of that is indistinguishable from what you would
13 use to process retail orders, though, isn't that right?

14 A The equipment may be the same or similar, but the
15 processes that would take place in that center are totally
16 different. In a retail environment you have a service rep who
17 is talking to an end user, information is put directly into an
18 order, and it is generated and passes through whatever other
19 departments that it needs to go to within Verizon in order to
20 establish the service.

21 In an NMC environment, the service rep is having
22 information that was input by someone else and that has gone
23 through a frontend edit, a shell of an order or some semblance
24 of an order has been created in NOCV, and now comes to that
25 person with some type of flag to say would you look at this,

1 there seems to be a problem in order for NOCV to process this
2 order. Or it may be designed to fallout because it is a more
3 complex order and someone would need to take that and do the
4 research in order to finish the order, send it on, and actually
5 have the service established to the customer. So your
6 processes at the two centers are totally different.

7 Q If you changed the software and retrained the people,
8 you can have them handle retail orders in that building using
9 that same equipment, correct?

10 A On the equipment portion, I don't know if it would
11 exactly be the same because what shows up to the service rep in
12 the NOMC is not the same format that shows up to the service
13 rep who is in the retail center. So it would be different.
14 Now, the training for these two diverse groups is totally
15 different because you are working on different types of orders.
16 It is just not the same situation that is being taken care in
17 those facilities. The retail environment is totally different
18 than the wholesale environment.

19 Q Mr. Dye, let me ask you a few questions about
20 cost-recovery. Would you agree with me that under the FCC's
21 pricing rules that state commissions may decide to require
22 ILECs to recover nonrecurring costs through recurring charges?

23 A (By Witness Dye) Yes.

24 Q Okay. And, in fact, this Commission noted in the
25 BellSouth cost order that indeed it recognizes that it does

1 have that authority, is that your understanding?

2 A I believe I read that portion of the BellSouth order,
3 yes.

4 Q I thought I heard you in your summary refer to a
5 statement that nonrecurring activities are those that benefit
6 only the specific or a specific ALEC, did I hear you correctly?

7 A Not exactly. What I said was those nonrecurring
8 activities that are associated with a specific customer, the
9 costs that are incurred in those types of activities should be
10 recovered in nonrecurring charges.

11 Q If a nonrecurring activity would benefit more than
12 one ALEC, this Commission certainly has the authority to
13 consider recovery of those costs or the cost of that activity
14 through recurring costs, isn't that right?

15 MS. TROY: I would like to note that Mr. Dye is not a
16 lawyer and, therefore, he can't give a legal opinion.

17 THE WITNESS: I believe this Commission would have
18 that authority.

19 BY MR. WOODS:

20 Q Mr. Richter, going back to you. In your direct
21 testimony, and I think the reference is at Page 5, Line 10, you
22 state that the monthly recurring and nonrecurring costs are
23 separate costs and reflect different investments and expenses,
24 is that a correct reading of your testimony?

25 A Yes, that is what the statement says.

1 Q I take it that by your use of the terms investments
2 and expenses that investment is different than expense?

3 A Investments are different than expenses, yes.

4 Q And would you agree that investment as a general
5 matter should be reflected in recurring as distinguished from
6 nonrecurring costs?

7 A No, I would not agree with that.

8 Q Do you think investment as a general matter ought to
9 be recovered by nonrecurring costs?

10 A I am not a pricing expert or person, so that question
11 would probably be best answered by someone in that capacity.

12 A (By Witness Dye) If I may. I mean, it would depend
13 on the type of investment. It would depend on the type of
14 investment and what the investment is being -- what the
15 investment is being made for. For instance, as I discussed if
16 the investment is being made for a specific customer in a
17 situation where that investment would be in a sense nonreusable
18 and associated with that specific customer, then it would be
19 appropriate and prudent to recover it in a nonrecurring charge.

20 An example would be an investment made in feeder
21 distribution plant. That is an investment made. It is a
22 somewhat fungible investment in that it can be reused for
23 different customers and that sort of thing. But investments
24 made for a particular customer in a situation that is specific
25 to that customer, then it should be recovered in nonrecurring

1 charges. So, that is more or less what I attempted to explain
2 in my testimony.

3 Q Thank you, Mr. Dye. Also directed to you, if an
4 investment is made that will benefit several parties, several
5 ALECs, and will bring in revenue over a period of time, that is
6 certainly a cost that can be considered by this Commission to
7 be recovered in recurring as opposed to nonrecurring costs,
8 would you agree?

9 A It would depend, and the reason I say that is, I
10 mean, as we have previously established I think this Commission
11 has the authority to do -- has wide latitude in its authority
12 to recover costs in recurring versus nonrecurring rates. In
13 specific instances associated with the charges that we have put
14 forth in this case are nonrecurring charges, I think we have
15 made proposals that we think are appropriate in recovering
16 those costs, and I am somewhat vague in your hypothetical.

17 Q I just have a couple more questions and these are for
18 Mr. Richter. You refer in your summary to the time and motion
19 studies and I believe also to a work sampling study. The study
20 that Verizon did with respect to the ordering process in order
21 to produce the proposed nonrecurring costs for this proceeding,
22 that, in fact, was not a time and motion study, is that right?

23 A As you said, there were two studies done. One was
24 work sampling, one was time and motion. The NMC was done as
25 a -- at our manual center was done as a work sampling. The

1 time and motion study was performed at our National Access
2 Customer Center which handles ASRs, access service requests,
3 and that also is a part of the cost study.

4 Q And the National Access Center, or the NACC, that
5 handle ASRs for dark fiber, for EELs, and for certain other
6 complex orders, is that right?

7 A That is correct.

8 Q But the bulk of UNEs which are requested by an ALEC
9 are processed through the NMC, is that right?

10 A That is correct.

11 Q Okay. And for the NMC, the study that Verizon made
12 was not a time and motion study, was it?

13 A It was not by name a time and motion study. It was
14 called a work sampling study, which is an accepted method of
15 measuring activities and processes and times for those
16 companies that do those type of activities. When you have a
17 large work group that handles varied activities, not assembly
18 line type things, time and motion studies work better for
19 assembly lines because you have got repetition of certain type
20 things. They do this, how long does it take.

21 When you get into a multi-faceted environment like we
22 have at the NMC, because we have various types of orders coming
23 in, it was determined by Arthur Andersen that the best method
24 that we could use would be the work sampling. And the work
25 sampling method is very easy, it is very simple. You have a

1 set sample group of individuals that you are going to monitor
2 to pick up the activities that would be done.

3 With the work sampling, the other criteria you set
4 down is your frequency of observation, and that being it can be
5 five minutes, it can be ten minutes, it can be 15 minutes like
6 is in our study. And what that means is on the prescribed
7 15-minute interval, whoever is an observer would go to the
8 sample group to the individuals that they were responsible for
9 and check and see the activity that they were doing at that
10 time. At the end of the day when all of the information is
11 gathered you would have -- each individual in the sample group
12 would have been observed every 15 minutes. And what would have
13 been observed was the type of activity that person was doing at
14 that time. The underlying thought being that the frequency of
15 an activity is going to be -- the higher the frequency is going
16 to be the preponderance of the activities that that person or
17 as a group when you add them altogether, that would be the
18 predominant activities that are taking place in that particular
19 center or in that environment.

20 And that is how the work sampling study is done and
21 the premise that it is on. It is to look at the sample group,
22 see the activities through observations, and you have the
23 preponderance of the activities that are performed from the
24 most down to the least.

25 Q Just a couple of simple questions. What you have

1 described is not a time and motion study, correct?

2 A What I described was a work sampling study.

3 Q Okay. A time and motion study is when someone
4 observes the actual duration of the work that is being done by
5 the group that is being observed?

6 A A time and motion study is when an observer sits with
7 an individual and notes the activities and the time frame that
8 it took to do the activity.

9 Q All right. And Verizon in the work sampling study
10 instead took, shall we say, snapshots of work activities
11 throughout a certain period of time, as you have I think pretty
12 well just described?

13 A Yes, that is what we did.

14 Q And was the reason why a time and motion study was
15 not done because Verizon determined that the activities that
16 were being performed were not uniform enough in order to permit
17 a time and motion study to be done?

18 A I don't know that I could agree with that, because I
19 was not in a position at that time when the decision was made
20 as to the type of method to determine, but I would say that we
21 had very reliable people who were assisting Verizon in trying
22 to determine in these work centers the activities that were
23 being done. And they are the experts in that field, and with
24 them making the decision that the best way for us to put the
25 information together and be able to put it into a cost study

1 that would accurately represent the activities and the
2 processes and the times that it takes to do these things was
3 the work sampling method.

4 Q And I believe what you said is that a time and motion
5 study would be for an assembly line process?

6 A A time and motion study could be used by anyone
7 anywhere. I mean, it is not restrictive in any nature. The
8 thing that I understand about trying to assess activities,
9 processes, and times to do those processes is to determine how
10 is the best method and the shortest amount of time with the
11 least amount of disruption in the work force to be able to
12 determine all of the activities that take place and the average
13 time that it takes to complete those activities.

14 Q Okay. Given all of that, and this is my last
15 question, what Verizon determined was that the ordering process
16 is not enough of an assembly line process in order to permit a
17 time and motion study?

18 A I cannot say that is the reason that it was done. I
19 can't say that. I don't know.

20 MR. WOODS: Thank you.

21 CHAIRMAN JABER: Mr. Perry.

22 MR. PERRY: I have no questions, Madam Chairman.

23 CROSS EXAMINATION

24 BY MR. WEBER:

25 Q Good morning, Mr. Richter and Mr. Dye.

1 A (By Witness Richter) Good morning.

2 Q I am Bill Weber from Covad Communications. And my
3 questions as well will be directed primarily to Mr. Richter. I
4 would just like to clarify some of the things that you were
5 just going over. For the national -- for the NMC a number of
6 tasks were identified that your representatives go through at
7 that center, is that accurate?

8 A We did discuss some of the activities that take place
9 in an NMC, yes.

10 Q And when you did the sampling technique to establish
11 task times, there were a number of tasks that had times
12 assigned to them based on that sampling process that you used?

13 A The sampling process is based on observations, and
14 the quantity of observations is then multiplied times a time
15 factor which was predescribed at the time that the work
16 sampling is going to be performed. In other words, we set --
17 when I say we, whoever is doing the work sampling, and that is
18 the method that is determined to be used to determine the
19 activities and the average times for activity completion, at
20 that time a time frame is set up for the observations.

21 In this case it was every 15 minutes the observers
22 would go to their individual that they are assigned to, and as
23 an example at 9:00 a.m. an observer would go to their
24 designated person, make the observation as to what they are
25 doing, marking it down, what activity they are doing. At 9:01

1 they would go to the second person that they would need to
2 observe and make a note of the observation of what was actually
3 being done. They would not come back to that first person that
4 they looked at 9:00 a.m. until 9:15. Then they would take and
5 do another observation as to what they are going and continue
6 on.

7 Q And as they did that presumably at different times
8 during the day, different individuals would be performing
9 different tasks?

10 A They would do it on prescribed times.

11 Q I'm sorry. And this is my fault, my question I'm
12 sure was not clear. As the observers make their rounds and go
13 to workers within the NMC every 15 minutes throughout the day,
14 those workers are going to be performing sometimes one task and
15 sometimes another task when that 15 minutes interval hits?

16 A Yes. And this is a sample group. Not everyone in
17 the NMC, it is the sample group.

18 Q And from those observations throughout the course of
19 a day, and I am assuming multiple days, then estimates are
20 derived as to the amount of time it takes people to perform all
21 the various tasks done in the NMC as part of the ordering
22 process for ALEC orders, correct?

23 A The observations are actually multiplied times 15
24 minutes, which is the increment, which actually gives the time
25 for that particular type of observation. So if you had 100

1 observations for that activity, you would multiply that times
2 15 and get you 150 minutes for the time spent doing the
3 observations for that particular time period. In this case it
4 was two weeks.

5 Q And that time period that is arrived at is an
6 estimate, correct?

7 A That is correct.

8 Q Now, for the assignment provisioning center and the
9 business response provisioning center, there were work center
10 reports that were used to establish task times, correct?

11 A That is correct. Those were handled totally
12 different from the NMC.

13 Q And would a description of how that process worked be
14 fairly brief or is that a very involved process?

15 A The explanation can be very brief. Those that did it
16 probably felt it was very involved. In the process of the
17 assignment provisioning center, the equipment that we have that
18 takes the orders into the assignment provisioning center keeps
19 track of the number of orders that go there. We went to the
20 assignment provisioning personnel, found out the total number
21 of productive hours that were worked in that center for a
22 specific time, and the total quantity of orders that went in
23 there to give us a time per order.

24 In the business response provisioning center it was
25 very similar depending on the group, because the BRPC, which is

1 of the business response provisioning center, which handles
2 ASRs, the access service requests, which are the more
3 complicated orders, there are various departments within the
4 BRPC and they handle certain things. You have got a service
5 order entry group, you have got a design group, you've got an
6 engineering group, you have the facility group. And what was
7 done is very similar. We looked at the activity that was
8 performed by the individual groups during the study period, the
9 amount of orders that were processed through in order to come
10 up with an average time.

11 Q So when you say an average time, again, it was an
12 estimate that was arrived at of the time it takes to do those
13 tasks?

14 A Not all of them were estimates, some of them were
15 actual reports and activities that we were looking at to
16 provide us with an average time. We didn't always get
17 estimates, we actually had documents that showed the amount of
18 time spent performing the activities of that particular work
19 group.

20 Q And were those documents preexisting or were they
21 prepared specifically with the task in mind of measuring task
22 times?

23 A I don't know for sure, but it would have to be
24 something that we could -- that was already there in order to
25 look at the study period and know the quantity and the hours

1 that were used.

2 Q Now, for central offices in terms of provisioning
3 tasks to the central offices, from your direct testimony it
4 appeared to me that you used a whole host of methods. There
5 were some time and motion studies in there, system reports,
6 work group hours, SME input, is that accurate?

7 A For field work it would be. For the central office
8 specifically for the jumper running time, we did a jumper
9 running time study which was specifically a time and motion
10 study on running the jumper and how long it took.

11 Q And for field work, aside from that, it was a
12 combination of things?

13 A For the field work technician himself, his time
14 reporting system that he uses to report his time at the
15 completion of each job, he has drivers and function codes.
16 Drivers determine the type of activity he is on, whether a
17 trouble ticket or whether a service order, and then he has
18 function codes that actually provide him a means to enter
19 exactly what he did, a work function. And in the cost study
20 what we did is those are permanent records.

21 As a matter of fact, his time sheet for that day
22 accounts for his time and that generates his payroll and also
23 puts the hours that are worked and the dollar amounts into the
24 appropriate accounts for the company books. So we were able to
25 go and get those activities, those printouts if you will, of

1 all of the activity for a specified time frame so that we would
2 be able to analyze service order activity and the functions
3 that relate to doing the functions.

4 Q And then those were subject to adjustment by SME
5 input?

6 A They could be. I don't know that any of these were
7 adjusted. There could have been. Like when you have data
8 there are times that you would -- if you have an outlier you
9 would take those out and use those to come up with a more
10 concise average time. I don't specifically know if the cost
11 group would know what outliers they took out.

12 Q Now, for those things that we talked about that are
13 estimated task times, you will agree with me, I think, that if
14 there were errors in those estimates, those errors would be
15 carried through the system into the outputs that you got out of
16 your nonrecurring cost study, is that correct?

17 A I would agree with your statement. But I would like
18 to add a caution that the individuals that provided us with
19 estimates, if that is what was used and not the actual
20 information, the estimates would have come from subject matter
21 experts who are very efficient in their particular field. So
22 they would be able to determine, or they would know and, you
23 know, they could err both ways. They could err on overage or
24 they could err on the shortened time, say that it is too short
25 and think that possibly due to some changes that the time

1 should be somewhat less.

2 But I think the whole thing comes back to is that we
3 had individuals who are qualified and experts in their
4 particular field in order to give us the estimate. The cost
5 study people would then balance that against whatever -- any
6 good costing group would balance that against whatever data
7 they had previously. Does it ring true, can I qualify this,
8 can I quantify that. Is this is what it needs to be. And
9 those functions would have been performed in the cost study
10 before the information got into an input mode in the cost study
11 itself.

12 Q Well, I think, though, that you will also agree, and
13 I do understand your response there, that the quality of a
14 system that uses inputs to produce outputs can be to a degree
15 measured by the reasonableness of its outputs. Would you agree
16 with that?

17 A Please state your statement, again.

18 Q That a system that -- there is a saying that
19 programmers use, garbage in, garbage out. I mean, there are
20 nice ways of saying that, as well. Good data in, good data
21 out. But one of the ideas behind that saying is that if you
22 have a system and you have got inputs, there is a process
23 applied to those inputs, and then you have an output, that one
24 of the ways you can evaluate everything prior to the output is
25 by looking at the quality of the output. Would you agree with

1 that?

2 A Well, I think the quality of your output would be
3 based on the quality of the information that you input.

4 Q That is exactly my point.

5 A Okay.

6 Q I would like to take a look at some of the outputs
7 now. These are not confidential, even though it is a red
8 folder. You have been handed an exhibit that was prepared by
9 Covad titled, "Loop Cost Comparison," and we are not going to
10 look at the recurring side of this exhibit, just the
11 nonrecurring side for the time being. Well, only the
12 nonrecurring side. And I would like to look first at the DS-1
13 loop. Do you see on the left-hand side of this exhibit under
14 loop or element if you do down where it says DS-1 loop, Mr.
15 Richter?

16 A Yes.

17 Q Now, if you look at the manual ordering charges there
18 and you read across, there are several different columns here,
19 and I would just like to look at the first two. The first
20 column to the right of manual ordering charge for DS-1 loop
21 indicates the rate that you have that Verizon has proposed in
22 this proceeding. What is that number?

23 A I can read that, it is \$64.43.

24 Q That's right. And the next column over is the rate
25 that this Commission ordered last year in the BellSouth cost

1 proceeding. And you see that is \$10.73. And I think that you
2 will agree with me that the Verizon proposed rate is
3 approximately -- for that ordering charge is six times higher
4 than the Commission ordered rate for BellSouth last year, is
5 that correct?

6 MS. TROY: Excuse me. If I might just interrupt for
7 a moment and clarify for the witness that none of these values
8 that we are referring to are confidential.

9 WITNESS RICHTER: I can only answer to the Verizon
10 proposed, and I will ask Mr. Dye to look at his rate sheet and
11 see if the amount that is there is, in fact, not -- that it is
12 the rate that we proposed.

13 CHAIRMAN JABER: Why would your -- you are
14 questioning whether Verizon's proposed rates are confidential,
15 you are trying to get clarification on that?

16 MS. TROY: Yes.

17 WITNESS DYE: The proposed rates would not be
18 confidential, and 64.43 is the proposed ordering rate for 100
19 percent manual order on advanced complex digital initial order.

20 CHAIRMAN JABER: Mr. Dye, I just need you to speak
21 into the microphone.

22 WITNESS DYE: The proposed rate of 64.43 is not a
23 confidential number. That is our proposed rate for a 100
24 percent manual order for an advanced complex digital initial
25 order.

1 CHAIRMAN JABER: And just for clarification of the
2 record, Ms. Caswell, unless I'm missing something, your current
3 rates and your proposed rates and certainly what we ordered are
4 not confidential information, so we don't have a problem with
5 this exhibit, right?

6 MS. CASWELL: Correct.

7 CHAIRMAN JABER: Let's move forward.

8 COMMISSIONER BRADLEY: Question.

9 CHAIRMAN JABER: Go ahead, Commissioner Bradley.

10 COMMISSIONER BRADLEY: Did I hear someone say that
11 the proposed rates are six times higher than what was ordered
12 by the Commission?

13 WITNESS DYE: If I may, he was asking whether the
14 \$10.73 rate ordered for BellSouth was six times higher than the
15 64.43 proposed by Verizon in this case.

16 MR. WEBER: Okay. Six times lower, just for
17 clarification. The BellSouth rate is six times lower than the
18 proposed Verizon rate.

19 COMMISSIONER BRADLEY: Well, Verizon is six times
20 higher and Bell is six times lower.

21 WITNESS DYE: Yes, sir.

22 MR. WEBER: I think we have an answer on that and can
23 move on.

24 BY MR. WEBER:

25 Q If you just look down then at the next column down

1 for the total DS-1 loop cost, because that is different based
2 on the way just the loop and the other costs are added
3 together, I think you will see that the total loop cost that
4 you have proposed -- and when I say you, I mean Verizon in this
5 proceeding is \$691.52, and the total loop rate including
6 ordering that the Commission ordered for BellSouth last year
7 was \$292.88. Do you concur with that?

8 A (By Witness Richter) I concur that that is the
9 numbers that are on your sheet. What I would like to say is
10 that the Verizon proposed rates that are here are based on
11 actual costs that Verizon will incur in providing the services
12 requested. I can't tell you anything about BellSouth's cost
13 study that may have been provided to the Commission from whence
14 the Commission ordered rates come from. It may not have been
15 an actual cost study, it may have been something else.

16 The other thing that I don't know is when they
17 provided their cost study what they included in this element
18 that is called total DS-1 loop cost. So there may have been
19 some items intentionally left out that are actual costs that
20 are incurred that Verizon may have included in this particular
21 cost element. And this is where when you get to comparing
22 various rate structures between companies, you don't always
23 know you are looking at apples and apples and oranges and
24 oranges, because the company or the ILEC will combine certain
25 activities and processes into a specific rate element. They

1 are not the same between various companies.

2 So I can only answer to what Verizon has proposed and
3 the proposed rate that we have here is backed up by information
4 that is in the cost study to show that when you are looking at
5 cost-based rates, this is the cost that Verizon will incur in
6 order to provision a DS-1 loop cost.

7 Q And when you talk about apples-to-apples and
8 oranges-to-oranges, if that is the cost that Verizon will
9 incur, you will agree that the costs that will be incurred by
10 an ALEC in Florida ordering precisely the same loop with the
11 same functionality from BellSouth will be about 2-1/2 times
12 less?

13 A I do not know that.

14 WITNESS DYE: If I might add that I do know that
15 BellSouth or at least in the BellSouth order the rate structure
16 for nonrecurring charges is different than the rate structure
17 that we have proposed in this case. So I do know for a fact
18 that you are not comparing apples and oranges -- or you are
19 comparing apples and oranges. As an example, there is a
20 separate disconnect charge that was awarded in the BellSouth
21 case that we have not proposed in this case, so I know there is
22 at least one rate element that is missing from the BellSouth
23 rate comparison that is included in the Verizon number. So I
24 do think you have an apples and oranges comparison on the
25 sheet.

1 Q Well, perhaps from Verizon's perspective that is
2 true, and we can talk about rate elements and what goes into
3 this and what doesn't go into this. But it is true that for an
4 ALEC ordering a DS-1 loop as a UNE in Florida that if Verizon's
5 proposed rate stands that UNE will cost that ALEC about 2-1/2
6 times more than it will cost them if they order the loop from
7 BellSouth, correct?

8 A Again, I don't know that because this comparison is
9 incomplete.

10 Q Well, let's move on to another one, then.

11 COMMISSIONER DEASON: Well, just a second. How do we
12 get a complete comparison? If you say this is incomplete, can
13 you provide the data to do a complete comparison so we will
14 have the data in front of us when we make our decision? Can
15 you do a complete comparison?

16 WITNESS DYE: Well, the comparison is on BellSouth's
17 rates and I'm not totally familiar with the BellSouth rates.
18 And, in fact, I believe --

19 COMMISSIONER DEASON: Well, you were familiar enough
20 to know that there is another rate element in there, so you
21 must have some familiarity.

22 WITNESS DYE: I have some familiarity with the
23 Commission's order in the BellSouth case where in that case the
24 Commission ordered BellSouth to negotiate with the ALECs a
25 separate disconnect rate, and to take the disconnect charges

1 out of their initial connection charge and to negotiate a
2 separate rate. I'm not sure that I am aware of the disconnect
3 charge that BellSouth charges the ALECs when the ALECs
4 disconnect a DS-1 loop, for instance, where we have in our
5 proposal included those disconnect charges in our initial
6 connection charges. So I'm not familiar with the BellSouth
7 rate levels that they have negotiated with the ALECs.

8 COMMISSIONER DEASON: So you are saying you are
9 unable to do that comparison?

10 WITNESS DYE: I'm not able to do the comparison
11 because I don't know what the BellSouth rate that they
12 negotiated with the CLECs is. But I do know there is a
13 separate rate, but I don't know what it is.

14 CHAIRMAN JABER: Well, let me follow up because I'm
15 not sure I fully appreciate the need for the comparison with
16 respect to the individual rate levels, so let me understand.
17 You do know what an ALEC would pay for a DS-1 loop if it was
18 ordered from Verizon, and I am assuming that would be 691.52?
19 I mean, you all filed the cost study, so --

20 WITNESS DYE: That is correct, however -- that is
21 partially correct. I mentioned awhile ago the 64.43 that was
22 included. The 627.09 is not what I have on my BIS-1.

23 CHAIRMAN JABER: Okay. Then reviewing your exhibit,
24 if Jaber ALEC calls Verizon and says I need a DS-1 loop, based
25 on your exhibit what would the charge assessed be?

1 WITNESS DYE: Well, on Page 1 of 5 of BIS-1 it shows
2 for an advanced complex digital initial 100 percent manual the
3 64.43, and for the initial unit under the service connection it
4 is 779.92.

5 CHAIRMAN JABER: So the price should be the addition
6 of 64.43 and you said 779.92. And regardless of the individual
7 rate elements included in the BellSouth order, it is a correct
8 statement that an ALEC ordering everything necessary for the
9 DS-1 loop would pay significantly, a significantly higher
10 amount than in the BellSouth territory.

11 WITNESS DYE: The missing piece --

12 CHAIRMAN JABER: Before we get to the missing piece,
13 just if I do your own math, you would agree with me that an
14 ALEC in the Verizon territory would pay a significantly higher
15 amount for the DS-0 loop provisioning than he would pay in the
16 BellSouth territory. That is a yes or no answer.

17 WITNESS DYE: It's an I don't know answer, because I
18 don't have --

19 CHAIRMAN JABER: Well, let's go through the math
20 then.

21 THE WITNESS: But there are missing pieces, so we are
22 not comparing on this sheet apples and oranges (sic).

23 CHAIRMAN JABER: Are you saying you are not sure if
24 an ALEC calling BellSouth for a DS-1 loop would pay 292.88?

25 WITNESS DYE: I'm not sure.

1 CHAIRMAN JABER: All right. Well, let's assume that
2 is what they would pay. If this record establishes that that
3 is what the ALEC in the BellSouth territory would pay, would
4 you agree that 64.43 plus 779.92 is significantly higher?

5 WITNESS DYE: Under that assumption I would agree
6 that it is higher, yes.

7 CHAIRMAN JABER: Okay. Now, let's talk about the
8 individual rate levels. Why is that point significant?

9 WITNESS DYE: Because we include two rate elements in
10 our proposed rate where BellSouth has two separate rate
11 elements, and only one of those rate elements is displayed in
12 this example. There is a missing rate element that BellSouth
13 would charge that we would not.

14 COMMISSIONER PALECKI: What is that rate element?
15 Not the number, but what is it called?

16 WITNESS DYE: The rate element is called charge for
17 disconnect.

18 COMMISSIONER PALECKI: Which would only apply when
19 the customer wanted the service disconnected, not when he
20 wanted it connected.

21 WITNESS DYE: That's right. Whenever the ALEC called
22 Verizon and said disconnect this DS-1, the customer has moved.
23 The customer is no longer an ALEC customer.

24 COMMISSIONER PALECKI: Chairman Jaber's question was
25 to connect, it didn't include the disconnect. It was only what

1 would it take to connect the service.

2 WITNESS DYE: And I said that that was not a fair
3 comparison because there would be a separate rate element that
4 would apply in the BellSouth case when the service was
5 disconnected, and that rate element would not apply in the
6 Verizon case when the service was ultimately disconnected.

7 COMMISSIONER PALECKI: What about the cost for
8 Verizon New York without regard to your cost, but the cost to
9 the customer? Are we comparing apples-to-apples there?

10 WITNESS DYE: I'm not familiar with the Verizon New
11 York rate structure to know whether this is a fair comparison
12 or not.

13 CHAIRMAN JABER: Mr. Weber, you have something you
14 need to say?

15 MR. WEBER: Yes, ma'am. The rate that he is talking
16 about from the order last year, it is the BellSouth Element
17 A.9.1, and the disconnect that would be charged by BellSouth at
18 the conclusion of service is \$61.22.

19 CHAIRMAN JABER: Mr. Weber, you don't get to testify.
20 So when the Commissioners are done asking their questions, I
21 will just have you -- you're welcome to use whatever it is you
22 are looking at a cross-examination exhibit to establish that.

23 MR. WEBER: I understand that.

24 CHAIRMAN JABER: Mr. Dye, let me go back and digest
25 what you just said to Commissioner Palecki. You're not sure if

1 the disconnect -- you recognize that BellSouth has a disconnect
2 charge and that may not be included in the 292.88, but I'm
3 asking you about the connection charges. Is the point you are
4 trying to make Verizon's amount does include the disconnect
5 charge?

6 WITNESS DYE: Yes.

7 CHAIRMAN JABER: Okay. If you backed out the
8 disconnect charge, what would that amount be?

9 WITNESS DYE: The disconnect costs associated with
10 the 64.43, again, this is on -- I believe it is on Exhibit BIS,
11 Page 8, where the detail is. And the disconnect cost
12 associated with the 64.43 is \$15.74.

13 CHAIRMAN JABER: So if I have done the math
14 correctly, and believe me I am not very good at math, the
15 manual ordering charge is 48.69?

16 WITNESS DYE: Yes, that is correct.

17 CHAIRMAN JABER: Okay. So going back to the original
18 question, assuming the 292.88 and the 10.73 are the total
19 charges to connect DS-1 loops, you would agree that the 48.69
20 plus 779.92 is still significantly higher than the BellSouth
21 territory?

22 WITNESS DYE: Well, the 627.09 would go to 560.02.

23 CHAIRMAN JABER: And that is still significantly
24 higher, isn't it?

25 WITNESS DYE: Yes, it is.

1 CHAIRMAN JABER: Go ahead, Mr. Weber.

2 BY MR. WEBER:

3 Q What has been handed to you now is an exhibit
4 prepared by Covad comparing loop conditioning costs in your
5 proposed rate versus the rate ordered by BellSouth last year.
6 And, in fact, the Verizon current rate as reflected in the
7 interconnection agreement between Covad and Verizon. You are
8 aware, I believe, that this Commission ordered conditioning
9 rates of zero for BellSouth last year for what have been called
10 short loops, were you aware of that?

11 A (By Witness Richter) You are directing the question
12 to me?

13 Q Yes, I am.

14 A I'm not familiar with the order. I'm sorry, I can't
15 substantiate that.

16 Q Well, subject to check if you will take that on
17 faith, then you will agree that you have proposed a rate for
18 conditioning loops period, short or long, per loop of
19 \$2,789.47, is that accurate?

20 A Subject to check here on the rate sheet with Mr. Dye
21 for the load coil removal only, yes. On the rate sheet that
22 stands correct.

23 Q Now, does Verizon sell DSL service in Florida?

24 A I assume they do.

25 Q And to your knowledge can DSL service be provided

1 over what is known as a loaded loop or a loop that contains a
2 load coil?

3 A It is my understanding that you cannot provide ADSL
4 type service over a loaded loop. There are also other
5 restrictions that are deterrents to the processing of the
6 signal.

7 Q I understand. But we are talking about load coils
8 right now. So you do agree that for an ADSL service to be
9 provided, as a general proposition that cannot be provided over
10 a loop that contains a load coil?

11 A That is my understanding. I am not an engineer, but
12 that is my understanding.

13 Q Now, are you aware if Verizon itself will condition
14 loops for a customer who orders an ADSL service from Verizon?

15 A Yes, Verizon will condition a loop.

16 Q And is it your testimony then that the cost of
17 conditioning the loop to Verizon is \$2,789.47?

18 A Yes, based on the cost study that Verizon has put
19 together documenting all the different costs that are involved
20 in doing the activities necessary to remove the load coil, yes,
21 and they are all listed in the cost study.

22 Q Now, if we assume, then, that ADSL service sells for
23 about \$50 a month and we can assume any number we want to, I am
24 just throwing that number out, that is an average line shared
25 rate probably. Then just rough calculations it would take

1 nearly 56 months for that loop to become profitable to anyone,
2 Verizon, an ALEC, anyone, if you assume that 100 percent of
3 that \$50 were to be applied to the cost of removing a load
4 coil, is that accurate do you believe?

5 A Based on your assumption and without having a
6 calculator to do all the math, I will agree with your
7 assumption. The point that I would like to make, though, is
8 that not every cable pair that is out there is loaded. So
9 there are many more cable pairs that are not loaded that ADSL
10 will function over as it was designed to be versus the quantity
11 of cable pairs where ADSL service is requested that are
12 actually loaded. So, these costs would not apply unless the
13 service address or the cable pair that served that particular
14 address was loaded.

15 Q But that's what we are talking about right now and
16 that is what my question was directed at. If an ALEC wants to
17 provide DSL service, they get an order, there is a customer, a
18 consumer in Florida who wants ADSL service. When that ALEC
19 finds out what the makeup of that loop is, if they want to
20 provision service for that loop they have to be willing to
21 assume that it is going to take 56 months to recoup that
22 investment at an absolute minimum?

23 A Based on your assumption, yes.

24 MR. WEBER: Thank you. I have no further questions.

25 COMMISSIONER PALECKI: Mr. Richter, could you please

1 explain in plain English without saying look at the list,
2 explain in plain English why this conditioning cost \$2,800?

3 WITNESS RICHTER: Yes, I can. In order to deload
4 that particular cable pair an engineer is going to have to go
5 to the records and find out exactly where the load coils are in
6 the network. First, I would like to say that we never just
7 have one load coil on a loop. From the engineering
8 perspectives when you are going to load a cable pair you have
9 to have a minimum of two loads. The first load is engineered
10 to be 3,000 feet from the office, each load after that is every
11 6,000 feet. So the first thing that we need to know is that
12 when we are going to deload a pair we are not going to deload
13 that pair with just one load coil, there are two load coils
14 that would need to be removed.

15 Once the engineer has the order drafted and he
16 explains in the work order the work that needs to be done, he
17 will then send that to the outside plant construction forces,
18 those people that would actually go out in the field and
19 actually perform the activity. What takes place there is if it
20 is in an underground facility, then the technician and because
21 we are in underground normally two technicians will go for
22 safety reasons, that you would go out and set up all of your
23 men working signs. And if you are in an area that in order to
24 close down a lane of the street you would need to get permits,
25 so there is time to do that.

1 But basically the technicians would go to where the
2 manhole is where the first load coil is, set up his work, set
3 up the men working signs, put up all the safety apparatus.
4 Upon opening the manhole, he would have to do his required test
5 for gas, those type things. He would need to set up his
6 equipment to purge the air that is in the manhole. If it is in
7 an area where there is water in the manholes, then he would
8 have to pump the manhole, which takes time depending on how
9 much water would need to be excavated from the manhole.

10 The next thing he would need to do is go down into
11 the manhole where there is going to be numerous cables and
12 identify the cable that he is going to be working on. Once he
13 does that he is going to have to open a sleeve where the cable
14 is spliced into the load coil and then the load coil tail comes
15 out and then goes to the next on down into the field. When you
16 open that sleeve, you have to go to two points on the other
17 side and establish an auxilliary air pressure system, that
18 being nitrogen bottles, because underground cables are
19 pressurized in order to keep the water out.

20 Normally, underground cables are very large in size;
21 1,800, 1,500, 3,000 pair, 3,600 pair. And in the construction
22 of those the actual copper wires are wrapped with a pulp paper
23 insulation and it looks very similar to a grocery bag that you
24 would get at the grocery store if you had them put your
25 groceries in a bag versus plastic. And that is what is the

1 insulator around the copper wires. The reason I say that is it
2 is a very absorbent material. So if you have any moisture or
3 anything that gets into your working surface, that paper will
4 absorb and it will go way back into the cable. So you have to
5 be very careful. That is one reason you have to make sure the
6 water level is down.

7 Once you do that you will have someone at the central
8 office put a tone on the specific pair that you need to find.
9 There is no color coding, you would actually have to find the
10 pair from the tone. Once you would do that, you would cut the
11 pair down where it goes into the load coil. You will cut that
12 off, you would see where it comes out of the load coil and goes
13 on to the cable going further down the road. You would take
14 and cut that off and then you would splice those two together.
15 In some cases where the cables are extremely large you have a
16 splice sleeve for the in portion of the load coil and you also
17 have a separate sleeve for the out portion of the load coil, so
18 now you have to go into two sleeves and then develop some way
19 to get the cable pair continuity between the two sleeves.

20 You then close up, close up your sleeve. You bolt it
21 up, you test it to make sure that it doesn't have any leaks.
22 You would then after you feel confident that you do not have
23 any leaks on your sleeve, you would then vacate that location
24 and go to the next one and basically perform the same type
25 activities.

1 COMMISSIONER PALECKI: Now, when Verizon wants to
2 provide DSL service to one of its own customers, does it have
3 to perform these same functions?

4 WITNESS RICHTER: It has to perform the same
5 functions regardless of who the requester is for a cable pair
6 to provide DSL service.

7 COMMISSIONER PALECKI: So when Verizon performs or
8 installs DSL -- provides DSL service to one of its own
9 customers it has made this \$2,800 investment before it even
10 receives a single payment back?

11 WITNESS RICHTER: That is correct.

12 COMMISSIONER PALECKI: And yet it decides that -- it
13 has decided that this is a cost-effective use of its funds and
14 it is providing DSL in Florida?

15 WITNESS RICHTER: That would be a business decision
16 that would need to be made, yes. And I would just like to
17 point out that not all of the cable pairs that are in the
18 service range of ADSL, which is approximately 18,000 feet, that
19 not all of those cable pairs are loaded. Only a small
20 percentage of those are loaded. So the only time you would
21 really incur this type of a situation is when you actually had
22 a customer that was on a loaded cable pair. And then, you
23 know, your business operation at that time would need to make
24 the decision just like we are discussing here, is it worth
25 paying this amount to provide this customer with ADSL service.

1 COMMISSIONER PALECKI: Do you know if Verizon has
2 done any net present value studies to determine
3 cost-effectiveness of doing this work for its own customers?

4 WITNESS RICHTER: I do not know.

5 COMMISSIONER PALECKI: Have you been involved in any
6 studies of that manner?

7 WITNESS RICHTER: No. The only study that I have
8 been involved in is the actual activities that take place when
9 we actually have to deload a cable pair, and that is what is
10 represented in the cost study.

11 COMMISSIONER PALECKI: Thank you.

12 WITNESS RICHTER: You're welcome.

13 CHAIRMAN JABER: Commissioner Deason and then
14 Commissioner Bradley.

15 COMMISSIONER DEASON: The \$2,800, which is what you
16 have referenced earlier for conditioning, is that the cost to
17 do one reconditioning, one line reconditioned?

18 WITNESS RICHTER: Yes, it is.

19 COMMISSIONER DEASON: Now, what would be the cost if
20 you sent a technician out to do 100 at one time?

21 WITNESS RICHTER: If you sent a technician out to do
22 100 at a time, and we are going to assume that all 100 pair are
23 in this same load coil, the only difference would be the time
24 that it would take to actually cut the pair down from going
25 into the load coil and then splicing it back together. All of

1 the other activities would stay the same. It would just -- you
2 would still open your sleeve, do all of those type things and
3 close it up.

4 COMMISSIONER DEASON: Now, when you provision DSL
5 service, do you take an order from a customer, go and analyze
6 it, and then go out and send a technician to condition that one
7 line? Or while you are in there conditioning do you make an
8 assumption you are going to get more orders in that general
9 vicinity and you might condition two, or three, or four, or a
10 dozen, or a hundred at one time?

11 WITNESS RICHTER: No. It is Verizon's policy to only
12 condition those pairs that we are requested to provide that
13 service on. The reason being is we don't know if someone in
14 that particular cable compliment where we would be taking the
15 loads of is actually going to request additional DSL. And in
16 each compliment there is 25 pairs, so you have the potential of
17 25 customers.

18 We can forecast activity and types of services that
19 will be provisioned out of the central office, but to get it
20 down to a cable compliment or a cable pair to say, okay, these
21 two customers on cable pair one and two are going to request
22 DSL service, so we are going to in. And I've got a request for
23 cable pair one, so I'm going to go ahead and deload cable pair
24 two. There is no way for us to know that. So we could deload
25 five or ten pair on the trip in, but that doesn't mean that one

1 of those customers that are working on those cable pairs are
2 going to come back and ask for DSL service.

3 We may deload, as an example, pairs one through ten.
4 We have a customer on pair one that now has DSL service, but
5 next week the customer that is working on pair eleven requests
6 service, so we would be out there again deloading that
7 particular pair because it wasn't in the ten that we chose. So
8 there is no way to determine when we are there which actual
9 pairs would be used for DSL service.

10 CHAIRMAN JABER: Commissioner Bradley.

11 COMMISSIONER BRADLEY: Yes. My question is on the
12 same line as the two previous Commissioners have asked. So,
13 therefore, what would the rate of return on the investment be
14 to the ALEC or to the CLEC for having you condition these
15 lines, or what is your rate of return on your investment for
16 conditioning these lines?

17 WITNESS RICHTER: I wouldn't know the answer to that
18 question as far as what the rate of return would be.

19 COMMISSIONER BRADLEY: Does anyone know what the
20 average DSL bill is per month and how long it would take to
21 recoup the expense of doing this conditioning process?

22 CHAIRMAN JABER: Probably not in this proceeding,
23 Commissioner, but I would ask -- there is one more Verizon
24 witness, I think, and one more ALEC witness. If anyone does
25 have any idea, I'm sure they can respond.

1 MS. TROY: Madam Chair, there is no more Verizon
2 witnesses after this one.

3 CHAIRMAN JABER: Okay. This is the last panel. And
4 Ms. McNulty, by your nodding your head, your ALEC witness
5 wouldn't be able to answer that?

6 MS. McNULTY: I don't believe so.

7 COMMISSIONER BRADLEY: What made me ask the question
8 is I heard a gentleman mention the fact that, you know, this
9 would be a business decision. And, you know, I know business
10 decisions are made based upon calculating what the investment
11 is and what the return is going to be on the investment, so I
12 just thought maybe he could answer it.

13 CHAIRMAN JABER: Commissioner Bradley, if I could
14 help you out and maybe this witness does know the answer to it.
15 It is broader than rate of return on the loop conditioning. I
16 think Commissioner Bradley's question goes to how you make that
17 business decision for your own customers in doing the
18 conditioning for the loop when a specific request for DSL
19 service is made. In other words, you said earlier, you
20 testified earlier that Verizon takes a look at whether it is
21 worth conditioning that loop for that one customer to get DSL
22 service. And Commissioner Bradley's question goes to, you
23 know, how do you evaluate your return on that customer's
24 service.

25 WITNESS RICHTER: I personally don't know. That

1 would be someone out of our product management group who has
2 responsibility for issuing that type of service into the
3 marketplace, and they would have to make that decision. And if
4 the decision is made that it is too costly to the return, then
5 when the customer asks for it, our only option would be to say,
6 I'm sorry, the service that you have requested we cannot
7 provide in your particular area.

8 COMMISSIONER PALECKI: But, Mr. Richter, you would
9 provide the data to the company to make that determination,
10 would you not, the cost data? Similar to the cost data you
11 provided in this study, correct?

12 WITNESS RICHTER: That is correct.

13 COMMISSIONER PALECKI: And have you done that and
14 provided that cost data to Verizon for their own purposes of
15 serving their own customers? And, if so, is that number the
16 same that you have provided in this cost data?

17 WITNESS RICHTER: I can't say for sure that it has
18 been provided in a cost study form of this nature, because I am
19 only involved in the wholesale portion of it. But part of the
20 retail process would be that the product managers would need to
21 look at all the costs associated with providing a specific type
22 service. When they do that they would come to the cost group.
23 The cost group is the -- I want to say owner of the loop
24 conditioning cost module of this cost study, and that would be
25 provided to the product managers who would actually make the

1 decision if Verizon would provide ADSL service in the case that
2 the customer has a loaded loop, because they would know that
3 these costs would be incurred.

4 COMMISSIONER PALECKI: And have you been requested by
5 Verizon over let's say the last three years to provide cost
6 data regarding conditioning costs for Verizon to serve its own
7 customers and have you provided that data to the company?

8 WITNESS RICHTER: I don't know if we have been asked
9 and it would have been the cost study group that would have
10 actually provided it, so I don't know.

11 COMMISSIONER PALECKI: So you have not done that
12 yourself personally?

13 WITNESS RICHTER: I have not done that myself, no.

14 CHAIRMAN JABER: Staff.

15 COMMISSIONER DEASON: Madam Chair, let me follow up
16 for just a second. So you're saying you don't know if Verizon,
17 as a company, uses your cost data when they make their own
18 business decisions to whether they are going to provision DSL
19 service to one of their customers?

20 WITNESS RICHTER: I'm saying that if the product
21 management group asked for the costs associated with deloading
22 a cable pair, it would be this same cost study that would be
23 provided to them. Because our costs -- when I say our costs,
24 Verizon costs, we would have to perform the same activities
25 whether Verizon asked the cable pair to be deloaded or if an

1 ALEC asked for the cable pair to be deloaded.

2 COMMISSIONER DEASON: Does Verizon ever condition a
3 line so that it can provide DSL service to one of its
4 customers?

5 WITNESS RICHTER: I don't know for sure, but I would
6 think yes.

7 COMMISSIONER DEASON: So what you are saying is if
8 Verizon does condition a line to provide DSL service, they have
9 made a business plan which calculates they are going to have to
10 recover \$2,800 in conditioning costs in addition to whatever
11 costs there are in providing DSL service, and they can make a
12 business plan that substantiates that decision?

13 WITNESS RICHTER: Yes. And I would just like to add,
14 like I said before, not every cable pair out there has to be
15 conditioned. So there is going to be revenue coming in from
16 customers who have ADSL service that the cable pair did not
17 have to be conditioned.

18 COMMISSIONER DEASON: So are you saying that Verizon
19 subsidizes DSL service to condition customers from those
20 customers that don't have to be conditioned?

21 WITNESS RICHTER: I wouldn't say subsidizes. All I'm
22 saying is if a cable pair needs to be deloaded -- and this
23 would be the same for an ALEC decision or a Verizon decision.
24 If we have 100 customers that want DLS, one of those has to be
25 deloaded. Then we would look and say, okay, I've got 100

1 customers that I am deriving X number of dollars of profit
2 from, then I can afford to pay the \$2,800 to deload this
3 particular cable pair for this one customer. That's what I'm
4 saying. It gets back to a business decision, because not every
5 cable pair has to be deloaded in order to provide ADSL service.
6 Only those that are conditioned today.

7 COMMISSIONER DEASON: And back to my previous
8 question, you indicated that this is done on a
9 customer-by-customer basis. That if you get a request from a
10 customer to provide DSL service, you go in and you review the
11 records and you determine what cable pair is serving that
12 customer, and whether it has to be conditioned. And if it has
13 to be conditioned, you send out two technicians at a cost of
14 \$2,800 to serve that customer?

15 WITNESS RICHTER: That is correct.

16 MR. WEBER: Chairman Jaber, before we move on, if we
17 could have these marked as an exhibit and moved into evidence.

18 CHAIRMAN JABER: Yes. We will mark it and admit the
19 evidence after the witnesses are done. And I am looking at the
20 loop cost comparison first. That will be Exhibit 58. Exhibit
21 59 is the loop conditioning cost comparison.

22 MR. WEBER: Thank you.

23 (Exhibit 58 and 59 marked for identification.)

24 CHAIRMAN JABER: Staff. And, Commissioners, after
25 staff is done you will be able to ask more questions. But,

1 staff.

2 CROSS EXAMINATION

3 BY MR. TEITZMAN:

4 Q Good morning, gentlemen. Or should I say good
5 afternoon. My name is Adam Teitzman. I have just a few
6 questions for each of you. These first questions are addressed
7 to Mr. Dye.

8 Mr. Dye, do you have a copy of Verizon's supplemental
9 response to Interrogatory Number 260 of Staff's Eighth Set?

10 A (By Witness Dye) No, I don't.

11 Q I could provide you with a copy.

12 A Yes, I do.

13 Q The response is to the question how to adjust a
14 single NRC rate without affecting other NRC rates. And it
15 states in part that rates would have to be changed at the rate
16 development sheets in Section 1. Could you elaborate on that
17 portion of the response?

18 A Well, Section 1 of the cost study, which is very
19 similar to and almost identical to BIS-3 in my exhibits, really
20 contain the rate development sheets. And the response says
21 going any further into the work sheets, that means going
22 further beyond or behind Section 1 could affect links to
23 multiple rate elements and affect more than a single rate.

24 So it is basically responding saying if you wanted to
25 change any of the rates in Section 1, you could go in and

1 change any of the numbers on that -- on that section in the
2 cost study and change any single rate at that stage in the
3 process, at that stage in the cost study process and not affect
4 any of the other rates. So if you wanted to change any of the
5 numbers in Section 1, you could do so without impacting any of
6 the other sections or any of the other rates. However, if you
7 went deeper into the study beyond Section 1, you may impact
8 multiple rate elements.

9 Q And just for clarification, is Section 1 similar to
10 Exhibit BIS-2 or Exhibit BIS-3?

11 A BIS-3.

12 Q Thank you. These next questions are addressed to Mr.
13 Richter. And, Mr. Richter, I would like to refer you to your
14 deposition in this proceeding marked as Hearing Exhibit Number
15 26, specifically Page 19.

16 A (By Witness Dye) Excuse me, I meant BIS-2 to your
17 previous question.

18 Q Yes.

19 A I meant BIS-2, not BIS-3.

20 Q So Section 1 is similar to BIS-2, correct?

21 A To BIS-2, yes.

22 Q Thank you.

23 A (By Witness Richter) And you are referring to my
24 deposition, which page?

25 Q On Page 19.

1 A Okay. I hope our pagination is the same.

2 Q We will find out. You indicated on Line 4 or Page 19
3 that NRC rates based on the sampling technique used by Verizon
4 could be reasonable within a certain range due to the
5 statistical confidence level of plus or minus 5 percent?

6 A Please hold on.

7 CHAIRMAN JABER: Staff, if you will refer him to the
8 question and give him time to find it.

9 A Okay, I have found it. And what is your question
10 there?

11 Q Would the reasonable range of NRC rates also be plus
12 or minus 5 percent?

13 A For that particular activity, the confidence level
14 depending on the number of observations that was made,
15 depending on the type of confidence level statistical viability
16 you wanted to have of your information, the more observations
17 you do, of course, the more credible your information is.

18 When that is the only item used to create in this
19 particular case like the ordering portion, and you use a labor
20 rate that is the current rate and you have confidence in the
21 information that you have gathered for your average times from
22 your work sampling study, and then I would think that your
23 confidence level should be within that 5 percent, because that
24 is the confidence level that you have in the data that you are
25 actually using in your calculation to come up with your end

1 result.

2 Q So would it be correct to say that the reasonable
3 range of NRC rates would also be plus or minus 5 percent?

4 A You could only use it for that portion of the rates
5 that are derived from the work sampling data. The other parts
6 of the cost study, they are going to have a different level of
7 confidence based on the data gathering that was done for it.
8 So you couldn't apply it to the final rate.

9 Q Is it correct that the methodologies employed by
10 Verizon in its NRC study result in average times?

11 A Yes.

12 Q Does this support the notion that rates could be
13 reasonable within some range?

14 A By using average rates, yes. I mean, times and so
15 forth, then your rates that would be developed from that should
16 be very reasonable.

17 Q Can you explain how the actual shared fixed costs
18 incurred for the NMCs compare to the \$18.49 million shared
19 fixed costs included in the NRC study?

20 A I'm sorry, I missed the first part of your question.

21 Q Can you explain how the actual shared fixed costs
22 incurred for the NMCs compare to the \$18.49 million shared
23 fixed costs included in the NRC study?

24 A I did not have that information at this time. That
25 was one of the requests made during the deposition, if we had

1 actual costs. Verizon is in the process of gathering that
2 information, and we hope to have that completed very shortly.
3 And at that particular time we will provide it.

4 Q So that could be provided as a late-filed hearing
5 exhibit?

6 A Yes, sir.

7 Q Do you know when, a week from now, seven days?

8 A I don't have a date. I do know that they are in the
9 process of gathering the data. I would hope within two weeks,
10 but I did not get a firm date from the cost study group who is
11 actually doing the data gathering.

12 CHAIRMAN JABER: Mr. Teitzman, when was the
13 deposition?

14 MR. TEITZMAN: April 18th.

15 CHAIRMAN JABER: It sounds like Mr. Richter has
16 agreed that it is information that could be provided in two
17 weeks.

18 MR. TEITZMAN: Could we have that marked as Exhibit
19 60.

20 CHAIRMAN JABER: Exhibit 60 is a late-filed exhibit.
21 And can you give me short title, Mr. Teitzman?

22 MR. TEITZMAN: Yes, we can title that cost
23 comparison. Let's make that NMC cost comparison.

24 CHAIRMAN JABER: Okay. That is Late-filed Exhibit
25 60. And your response, Mr. Richter, will be due two weeks from

1 today.

2 WITNESS RICHTER: Thank you.

3 (Late-filed Exhibit 60 marked for identification.)

4 BY MR. TEITZMAN:

5 Q Mr. Richter, just for clarification, do any UNE-P
6 orders flow through without manual intervention?

7 A UNE-P orders have the potential to flow through
8 without manual intervention.

9 Q And this final question is addressed to either
10 witness. Can either Mr. Dye or Mr. Richter, could you explain
11 why Verizon's interconnection agreement with Covad has a rate
12 of only \$249.91 for loop conditioning compared to the Verizon
13 proposed rate of \$2,789.47?

14 A (By Witness Richter) The only thing that I can say
15 is that the \$249.91 was a rate that was established. I can
16 tell you that the information that is provided in the cost
17 study which relates in the approximately \$2,800 for the loop
18 conditioning are the actual costs that Verizon would incur when
19 they would go out and actually deload a cable pair as we
20 discussed earlier today.

21 This cost study looks at the actual cost based on
22 average times that it would take to perform that activity, and
23 that what is our cost study displays. I am not sure where the
24 \$249.91 comes from or what it was based upon. Maybe Mr. Dye
25 has some additional information that he could add.

1 A (By Witness Dye) I am not aware where the -- how the
2 249.91 was developed that is in the Covad interconnection
3 agreement. I don't know where that came from.

4 MR. TEITZMAN: Staff has no further questions.

5 CHAIRMAN JABER: Commissioners.

6 COMMISSIONER PALECKI: On that issue, would Verizon
7 enter into an interconnection agreement if it was not in their
8 economic best interest to do so?

9 WITNESS DYE: Well, when we negotiate agreements,
10 they are generally packages. I mean, there are some gives and
11 take on various issues, and, you know, things like the term of
12 the contract and the particular situations that are in the
13 contracts.

14 So there may be some gives and takes in the
15 negotiating process and there may be some agreements made for
16 various reasons, various business reasons and economic reasons.
17 And to extract one particular rate element out of the contract
18 and use that particular rate as an example for comparison
19 purposes is not always relevant.

20 COMMISSIONER PALECKI: So the give or the take here
21 was approximately \$2,500 less than the actual cost of providing
22 the service.

23 WITNESS DYE: More than likely at the time that we
24 agreed to the 249 rate, we didn't have the cost studies
25 complete and we didn't have -- obviously didn't have agreements

1 on the conditioning rates, and for one reason or another we
2 agreed to that particular rate.

3 COMMISSIONER PALECKI: Do you know how often Verizon
4 has provided this service for Covad under its interconnection
5 agreement?

6 WITNESS DYE: No.

7 COMMISSIONER PALECKI: Thank you.

8 CHAIRMAN JABER: Commissioners, any other questions?
9 Redirect.

10 MS. TROY: May I have just a moment to look through
11 my notes?

12 CHAIRMAN JABER: Sure.

13 (Off the record.)

14 CHAIRMAN JABER: Ms. Troy, are you ready?

15 MS. TROY: Yes, I am.

16 REDIRECT EXAMINATION

17 BY MS. TROY:

18 Q This first question is for you, Mr. Richter. You
19 will recall a series of questions regarding fallout and the
20 mechanization orders, the mechanized handling of orders by
21 Verizon?

22 A (By Witness Richter) Yes.

23 Q Could you explain why it might be impossible to
24 design electronic equipment to -- electronic equipment to
25 ensure that there will be no fallout from electronic orders?

1 A In designing the electronic equipment that would have
2 to look at the information that is coming into it, it would
3 have to know all of the variations and combinations that would
4 exist for a specific type of order. And there is nothing out
5 there today that can analyze -- that I am aware of that could
6 analyze all of that information. Because some orders have
7 combinations that are similar or alike to other orders, so it
8 would be very difficult to design something that could look at
9 every alternative and know that that is the alternatives that
10 need to go with that specific order.

11 The other thing is cost in trying to set all of that
12 up. When there are a small quantity of orders like complex
13 orders that would come in, it wouldn't be cost-effective to
14 spend the money that it could take that it could audit all of
15 the complex orders when you only get a small quantity. It just
16 wouldn't be cost-effective.

17 Q And, Mr. Richter, you will also recall or do you also
18 recall a series of questions relating to efficiency gains that
19 Verizon might have realized in the processing of LSRs?

20 A Please ask your question again.

21 Q Do you recall a series of questions that were asked
22 of you regarding potential efficiency gains, I believe the
23 questions went to possible improvements on the front end,
24 editing of orders in the order process?

25 A Yes. We were discussing that could additional edits

1 be placed in the upfront SIGS portion, and, yes, that is an
2 on-going process. The other thing that we have in the cost
3 study takes into account a 15 percent efficiency factor that
4 would come into play as the NMCs become more proficient in
5 performing the tasks, they themselves would become more
6 proficient. We will be able to process orders more in tune so
7 that when we did the cost study a SME provided the estimate of
8 the proficiency that could be expected in that particular
9 center, and that was applied to the actual data that we
10 compiled to determine what the activities and the processes and
11 the average times would be for the order completion.

12 Q And, Mr. Dye, I would like to direct your attention
13 to the chart has been marked loop conditioning cost comparison
14 that was handed out. It has been marked as Exhibit 59.

15 A (By Witness Dye) Yes.

16 Q Actually, this question might be for either you or
17 Mr. Richter. Do either one of you have any reason to believe
18 that Verizon could perform the functions associated with loop
19 conditioning for the \$309.32 rate quoted on this chart for
20 BellSouth?

21 A What was the question again?

22 Q The question was do either of you have any reason to
23 believe that Verizon could perform the functions associated
24 with loop conditioning for \$309.32?

25 A (By Witness Richter) I would say no, because as we

1 went through earlier, there is a detailed process that needs to
2 go through -- that anyone would go through in order to deload a
3 cable pair. If a cable pair is loaded, and it doesn't matter
4 if the ALEC owns the cable, or the ILEC, or someone else, and
5 they want to deload that cable pair, the process is the same.
6 And I feel confident that the cost study lays those processes
7 out. I am confident that the times that are there would be
8 representative of times that it would take either a BellSouth
9 employee, a Verizon employee, a Sprint employee, even a
10 contractor that does telecommunications work may be hired to do
11 the work, that the proficiency and the productivity would be
12 basically the same.

13 Because our technicians and the ALECs' technicians
14 and the BellSouth technicians, I mean, they do good work.
15 They're fast. They have a need to keep and maintain their job
16 and their personal improvement. So I would think that it would
17 take the same average time to do the activities as we have
18 listed here in our cost study.

19 A (By Witness Dye) And if I may add, one of the common
20 mistakes that I have seen in this area, and I'm not sure
21 whether it is applicable in the BellSouth case, because I'm not
22 totally familiar with how the number was derived, but one of
23 the very common mistakes in this area is, for instance, to
24 assume -- let's take this cost and to simply assume that we go
25 out and do ten at a time. And let's say the cost was \$3,000.

1 And they divide by ten and get \$300. And say, okay. Well, the
2 cost is \$300, while the cost of doing the one cable pair that
3 the CLEC requested is still \$3,000. But the costs have been
4 spread over doing ten at a time. But the costs are not
5 recovered because we only receive a request for one. So we may
6 only recover -- if that was the way the costs were derived, we
7 may only recover \$300 and our cost is \$3,000.

8 If on the other hand we went out and did ten at a
9 time and we, in turn, received ten requests for those ten that
10 we deloaded, then we would recover the \$3,000. But that is
11 unreasonable to expect that the ALEC, for instance, would get
12 100 percent penetration, that is they would sell DSL service to
13 100 percent of the cable pairs that we deloaded. So, it is not
14 only one of costs, but one of cost recovery when we talk about
15 deloading multiple pairs at a time. And I know that Larry
16 touched on that earlier in talking about we go out and do ten
17 and we only get one customer. And then we get another customer
18 for a different cable group, and we go out and do ten there and
19 we only get one customer.

20 So it's really a matter of cost-recovery and making
21 sure that the rate matches the manner in which the costs are
22 incurred. And while that is a common mistake that I have seen
23 in developing rates for loop conditioning, it is a matter of
24 spreading the costs over a number of pairs that you never get
25 recovery over.

1 CHAIRMAN JABER: Do you feel like Verizon gets
2 cost-recovery from every DSL customer that is receiving DSL
3 from Verizon?

4 WITNESS DYE: I don't know. I know many times that
5 when -- I know it has happened, because I have been -- one of
6 the customers in Texas requested DSL service and I got told it
7 wasn't available to me at my location. And when I went to find
8 out why, it was because I had a loaded cable pair going to my
9 house. And they just said it is not available because they
10 don't want to incur the cost of deloading the cable pair, so
11 they simply say it is not available.

12 CHAIRMAN JABER: Clarify something for me. The short
13 conditioning, that is for the loop that is 18,000 feet?

14 WITNESS RICHTER: If I may, that was a BellSouth term
15 and I believe it is for the cable pairs that are less than
16 18,000 feet.

17 CHAIRMAN JABER: Okay. Now, remind me, do all of
18 those have load coils? They are not clean, are they? Anything
19 that is shorter than 18,000 feet?

20 WITNESS DYE: They are not all clean. Not all loops
21 less than 18 kilofeet are clean. That is some of them are
22 loaded, some of them are not. Most of them are not, I believe,
23 but some of them are.

24 CHAIRMAN JABER: Now, in a forward-looking network
25 environment, it is assumed that all the loops will be clean?

1 WITNESS RICHTER: Going forward I believe that the
2 office limits determine how far the office will work, and that
3 is set at 18 kilofeet. Now, that is the office limits.
4 Likewise, with ADSL service, that is the end limit footage-wise
5 that the ADSL signal can travel. But there is some other
6 engineering things that come into play as to the gauge of the
7 cable and so forth. That it may be at 17, it may be at 16, and
8 you may be able to be at 20,000 feet and still get a signal and
9 still be able to process data, but it would be much slower.

10 So in today's engineering environment, if you were
11 going to engineer it today and your office limits were out
12 there, you would not need from an engineering perspective to
13 load those less than 18,000 feet. Those that are going to be
14 traveling further than that, or those that have the potential
15 in the future that are only -- that are less than 18 kilofeet,
16 18,000 feet today that have the probability of serving
17 customers in the 24 to 25 or 27, when you built that today you
18 would want to put those load coils in in the section of cable
19 that you are placing today at the 3, the 6, at 15, at those
20 thousand feet so that at some point in the future when you
21 added onto that cable, then you would only have to add those
22 load points to get to your local customer.

23 CHAIRMAN JABER: Thank you.

24 Commissioner Palecki, did you have a question? Okay.

25 BY MS. TROY:

1 Q Mr. Dye, I would like to direct your attention to
2 what has been marked as Exhibit 58, the loop cost comparison.

3 A (By Witness Dye) Yes.

4 Q And do recall a series of questions regarding
5 BellSouth's rate structure?

6 A Yes.

7 Q Do you have reason to know the particulars of
8 BellSouth's rate structure?

9 A No.

10 Q And can you discern those particulars from the
11 BellSouth order?

12 A I haven't looked at the order that closely or for
13 that purpose, but I don't know that I could.

14 Q Could you do a side-by-side comparison of Verizon's
15 and BellSouth's rate structures without understanding the
16 differences between the two?

17 A Not with any degree of confidence that I would be
18 able to say that I am able to compare apples-to-apples.

19 Q And are you aware that Verizon has offered to sit
20 down with staff counsel to attempt to address the differences
21 between the rate structures of Verizon and BellSouth?

22 A I know we have had discussions regarding the
23 differences in the rate structure between BellSouth and what we
24 have proposed here at Verizon, and that we have made that
25 offer.

1 MS. TROY: Verizon has no further questions.

2 CHAIRMAN JABER: Thank you. Exhibits. Verizon, you
3 have got Exhibits 56 and 57.

4 MS. TROY: And Verizon is going to object to the
5 introduction of Exhibit --

6 CHAIRMAN JABER: Are you asking that Exhibits 56 and
7 57 be admitted into the record?

8 MS. TROY: Yes.

9 CHAIRMAN JABER: 56 and 57 will be admitted into the
10 record without objection.

11 (Exhibit 56 and 57 admitted into the record.)

12 CHAIRMAN JABER: Covad, you have got Exhibits 58 and
13 59. Is that a request --

14 MR. WEBER: Yes, ma'am.

15 CHAIRMAN JABER: And there is an objection?

16 MS. TROY: Yes. Verizon is going to object to the
17 introduction of Exhibit 58. I think throughout the course of
18 the questioning it became clear that neither witness was able
19 to authenticate this document nor could they verify the
20 accuracy of the values contained therein.

21 Upon just a cursory review, Mr. Dye identified an
22 error with respect to the costs associated with the DS-1 loop,
23 and in addition, with respect to the right-hand side of this
24 document the recurring rates that are listed, neither witness
25 was asked any question regarding any of those values, nor would

1 they be able to authenticate any of them given that both of
2 them are here to authenticate the nonrecurring rates that
3 Verizon has proposed.

4 CHAIRMAN JABER: Mr. Weber, there has been be an
5 objection related to authenticity.

6 MR. WEBER: Well, with regard to the
7 Commission-ordered rates, I think that the Commission can take
8 notice it's my understanding of its own rates ordered, and
9 although it is true that I had made a mistake on there and
10 significantly underestimated the cost of the DS-1 loop that I
11 put on there, that error has now been corrected and the Verizon
12 proposed rates are already a part of the record.

13 With regard to the recurring rates, we did not use
14 that for that purpose. And if they would prefer that we
15 provide an updated cost comparison chart that removes those
16 recurring rates, we would be happy to do that.

17 CHAIRMAN JABER: Excuse me, Ms. Troy. I am going to
18 overrule your objection and allow the exhibit and recognize
19 there was significant cross examination and redirect and allow
20 this exhibit to stand for whatever it is worth.

21 Exhibit 58 will be admitted into the record. Exhibit
22 59. I did not hear an objection to that one, so that will be
23 admitted into the record. And Exhibit 60 is the Late-filed
24 Exhibit.

25 Thank you both for your testimony.

1 (Exhibits 58 and 59 admitted into the record.)

2 CHAIRMAN JABER: Commissioners, let's take an hour
3 break. We will come back at 2:30.

4 (Lunch recess.)

5 CHAIRMAN JABER: Let's go ahead and get back on the
6 record. Where we left it. ALEC coalition, you need to call
7 your first witness.

8 MS. McNULTY: The ALEC coalition calls Doctor Ankum.

9 AUGUST H. ANKUM, Ph.D.

10 was called as a witness on behalf of the ALEC Coalition and,
11 having been duly sworn, testified as follows:

12 DIRECT EXAMINATION

13 BY MS. McNULTY:

14 Q Good afternoon, Doctor Ankum. Please state your name
15 and business address for the record.

16 A My name is August H. Ankum. My business address is
17 1261 North Paulina, Suite 8, Chicago, Illinois 60622. And my
18 accent is a Dutch accent.

19 Q By whom are you employed and in what capacity?

20 A QSI Consulting, and I am a senior vice president.

21 Q And on whose behalf are you testifying today?

22 A On the CLEC coalition. The ALEC coalition, excuse
23 me.

24 Q Have you prefiled rebuttal testimony in this docket
25 consisting of 110 pages?

1 A Yes, I have.

2 Q Do you have any changes or corrections to make to
3 that testimony?

4 A No, I don't.

5 Q If I were to ask you those same questions today,
6 would your answers be the same?

7 A Yes, they would.

8 MS. McNULTY: Chairman Jaber, at this time I ask that
9 Doctor Ankum's rebuttal testimony be entered into the record as
10 though read.

11 CHAIRMAN JABER: The prefiled rebuttal testimony of
12 Doctor August H. Ankum shall be inserted into the record as
13 though read.

14 MS. McNULTY: Thank you.

15 BY MS. McNULTY:

16 Q And, Doctor Ankum, with your testimony did you have
17 any exhibits?

18 A Yes.

19 Q And what were those exhibits numbered?

20 A You have me do the work, huh? I think AHA-1
21 through --

22 Q Was it through 12?

23 A Yes.

24 MS. McNULTY: Chairman Jaber, at this time I would
25 like to request that those exhibits be marked for

1 identification as follows: The public exhibits are AHA-1
2 through 9 and AHA-12.

3 CHAIRMAN JABER: Okay. AHA-1 through AHA-9 and
4 AHA-12 are Composite Exhibit 61.

5 MS. McNULTY: Thank you. And the confidential
6 exhibits are AHA-10 through 11.

7 CHAIRMAN JABER: AHA-10 and AHA-11 are Composite
8 Exhibit 62.

9 MS. McNULTY: Thank you.

10 (Exhibits 61 and 62 marked for identification.)
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AT&T COMMUNICATIONS OF THE SOUTHERN STATES, INC.

MCImetro ACCESS TRANSMISSION SERVICES, LLC

MCI WORLDCOM COMMUNICATIONS, INC.

Florida Digital Network, Inc.

(collectively called the "ALEC Coalition")

REBUTTAL TESTIMON OF DR. AUGUST H. ANKUM

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

DOCKET NO. 990649B-TP

JANUARY 30, 2002

1 **Q. PLEASE STATE YOUR NAME, OCCUPATION AND BUSINESS**
2 **ADDRESS.**

3 A. My name is Dr. August H. Ankum. I am a Senior Vice President at QSI
4 Consulting, Inc., a consulting firm specializing in economics and
5 telecommunications issues. My business address is 1261 North Paulina,
6 Suite #8, Chicago, IL 60622.

7

8 **Q. PLEASE DESCRIBE YOUR EDUCATIONAL BACKGROUND AND**
9 **WORK EXPERIENCE.**

10 A. I received a Ph.D. in Economics from the University of Texas at Austin in
11 1992, an M.A. in Economics from the University of Texas at Austin in
12 1987, and a B.A. in Economics from Quincy College, Illinois, in 1982.

13

14 My professional background covers work experiences in private industry

1 and at state regulatory agencies. As a consultant, I have worked with
2 large companies, such as AT&T, AT&T Wireless and MCI WorldCom
3 ("MCIW"), as well as with smaller carriers, including a variety of
4 competitive local exchange carriers ("CLECs") and wireless carriers. I
5 have worked on many of the arbitration proceedings between new
6 entrants and incumbent local exchange carriers ("ILECs"). Specifically, I
7 have been involved in arbitrations between new entrants and NYNEX, Bell
8 Atlantic, US West, BellSouth, Ameritech, SBC, GTE and Puerto Rico
9 Telephone. Prior to practicing as a telecommunications consultant, I
10 worked for MCI Telecommunications Corporation ("MCI") as a senior
11 economist. At MCI, I provided expert witness testimony and conducted
12 economic analyses for internal purposes. Before I joined MCI in early
13 1995, I worked for Teleport Communications Group, Inc. ("TCG"), as a
14 Manager in the Regulatory and External Affairs Division. In this capacity, I
15 testified on behalf of TCG in proceedings concerning local exchange
16 competition issues, such as Ameritech's Customer First proceeding in
17 Illinois. From 1986 until early 1994, I was employed as an economist by
18 the Public Utility Commission of Texas ("PUCT") where I worked on a
19 variety of electric power and telecommunications issues. During my last
20 year at the PUCT I held the position of chief economist. Prior to joining
21 the PUCT, I taught undergraduate courses in economics as an Assistant
22 Instructor at the University of Texas from 1984 to 1986.

23

1 A list of proceedings in which I have filed testimony is attached hereto as
2 Exhibit AHA-1.

3

4 **I. INTRODUCTION AND PURPOSE OF TESTIMONY**

5

6 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

7 A. The purpose of this testimony is to evaluate the merit of a number of Verizon,
8 Inc.'s ("Verizon's") cost studies. In general, I will discuss cost studies for
9 loops, switching, and Enhanced Extended Links (EELs), cost of capital,
10 depreciation, as well as methodological issues related to TELRIC and non-
11 recurring costs.

12 The cost standard by which I judge these studies is the TELRIC
13 methodology, as established and explained in the FCC's Local
14 Competition Order (*First Report and Order*, CC Docket No. 96-98,
15 released August 8, 1996) and the previous TELRIC Orders of the Florida
16 Public Service Commission.

17 Further, I believe that it is important to place this TELRIC proceeding in
18 the larger context of the troubled state of the competitive telecommunications
19 industry in general. To this purpose, I present the results of a financial
20 analysis of the major CLECs, including the larger IXCs. This analysis shows
21 that the CLEC industry is at a critical juncture and underscores how important
22 it is that the Commission approve appropriate, TELRIC based rates.

23

1 Specifically, I have calculated the change in market value of the CLEC
2 industry over the period of December 31, 1999 through April 23, 2001, based
3 on the value of the common shares held by investors. For the IXC and CLEC
4 industries, the total decline in market capitalization over this period is a
5 staggering \$405 billion, or 64%(see Exhibit 2). The data for just CLECs,
6 excluding IXCs, is \$122 billion, or 69%. By contrast, the RBOCs experienced
7 declines in market capitalization over the same period of only 16%, a
8 percentage roughly comparable to the decline in the S&P 500 Index. While
9 this analysis is not specific to Florida, the Commission should consider that
10 many of the carriers operating in Florida are affected by these national trends.

11 Clearly, there are a large number of reasons for why the CLECs have
12 experienced such a dramatic decline in market value. One of the more
13 important reasons, however, is the fact that CLECs continue to pay too much
14 to the ILECs – their main competitors – for network elements and collocation
15 services, facilities and services without which they simply cannot enter local
16 markets efficiently and viably. It is against the backdrop of this analysis that I
17 urge the Commission to rigorously apply the TELRIC principles delineated in
18 the FCC's First Report and Order and *reject* all attempts on the part of Verizon
19 to pad its rates with inefficiently incurred costs or otherwise increase rates in
20 order to erect barriers to entry. As my financial analysis shows, the CLEC
21 industry simply can no longer afford to shoulder the burden of anti-competitive
22 proposals.

23

1 Q. ARE THERE OTHER WITNESSES FILING ON BEHALF OF THE
2 COALITION?

3 A. Yes. Also filing testimony for the CLEC Coalition are the following witnesses:
4 Mr. Warren R. Fischer and Mr. Sidney L. Morrison. Mr. Warren Fischer
5 discusses Verizon's shared and common costs and annual charge factors.
6 Mr. Sidney L. Morrison discusses issues related to Verizon's proposed non-
7 recurring charges.

8

9 II. SUMMARY OF FINDINGS AND RECOMMENDATIONS
10

11 Q. PLEASE SUMMARIZE YOUR CONCLUSIONS AND STATE YOUR
12 RECOMMENDATIONS.

13 A. From my evaluation of Verizon's studies, I have concluded that Verizon's
14 ICM as filed in this proceeding, is not auditable, is not reliable, does not
15 model the least cost most efficient network design and cannot be used to
16 produce UNE rates that are compliant with FCC TELRIC pricing rules. In
17 addition, I found a large number of errors. While some of those errors may
18 be the result of disagreements on how to apply TELRIC principles
19 appropriately, others seems to point to more deliberate efforts on the part
20 of Verizon to obstruct this Commission's and intervenors' efforts to review
21 its cost model and in an effort to create unreasonably high UNE rates and
22 protect its customer base against competitive entry.

23

1 In general, it should be noted that Verizon rates proposed here in Florida
2 are many times higher than Verizon rates in other jurisdictions. This is
3 inappropriate. Verizon is the nation's largest incumbent LEC and should
4 be able to capitalize on all the efficiencies of scale and scope afforded by
5 the size of its operations. This is particularly true for switching studies
6 (since switches are purchased on a serving area wide vendor contracts
7 that reflect the purchasing power of all of Verizon's operations) and
8 operational support systems, but it is also true for other parts of Verizon's
9 operations. In view of this, the Commission should not treat the presented
10 cost studies as GTE studies – based on the costs of a much smaller
11 company – but as Verizon studies. Such treatment is essential under
12 TELRIC because the foundation of TELRIC is that it is forward looking.
13 The Commission must look forward in its assessment of Verizon-FL as
14 part of the larger Verizon and not back to the old GTE Florida, Inc.'s past.

15

16 My findings and recommendations are the following:

17

18 **Loop Cost Studies:**

19 • Verizon's ICM does not model the forward-looking least cost network
20 architecture.

21

22 - ICM fails to place the RT as close to the customer as possible to
23 capitalize on the efficiencies of the relatively inexpensive fiber

1 facilities. As a result, the model assumes too much copper in the
2 feeder and the distribution links. Often, the use of a secondary SAI
3 (serving area interface) increases the use of copper facilities. This
4 flaw is hard-coded in ICM and cannot be changed by the
5 Commission or intervenors.

6
7 - ICM fails to consider that for larger buildings, it is less expensive to
8 place the RT on the customer premises, thus avoiding the use of
9 expensive copper feeder and distribution facilities. The efficiency of
10 this practice is recognized by Verizon in other jurisdictions. This
11 flaw is hard-coded in ICM and cannot be changed by the
12 Commission or intervenors.

13
14 - The length of drop and entrance cables modeled by ICM is not
15 accurate and is too long. Further, drop and entrance cables
16 lengths should be de-averaged. For zones 1 through 3, the lengths
17 should be selected as *user defined inputs* (an option is ICM) at 75,
18 100, and 150 feet, respectively. This flaw is hard-coded in ICM and
19 cannot be changed by the Commission or intervenors

20
21 - Verizon's ICM fails to determine the actual location of any
22 customer. Unlike the HAI model or BellSouth's BSTLM, Verizon's
23 ICM does not identify where customers are located. Verizon's ICM

1 make an erroneous assumption that customers are equally
2 distributed throughout a fixed arbitrary grid. This erroneous
3 assumption results in excessive amounts of plant being modeled
4 and plant being placed to locations where no customers exist.

5
6 • Verizon's fill factors are generally too low and do not reflect a forward-
7 looking, least cost network built for "a reasonable projection of actual
8 demand." Verizon includes excessive amounts of spare to serve future
9 customers. Since current customers – the CLECs – are not the cost
10 causers of costs for facilities to serve anticipated future demand, this
11 spare is inappropriate in a TELRIC study.

12
13 • Cost studies for Digital Loop Carrier ("DLC") based loops should be
14 assumed to be Integrated DLC technologies. No universal service
15 interfaces (channel units) should be used in the studies.

16
17 • Verizon fails to address the concentration ratio on the IDLC. The
18 concentration ratio should be 6:1. (This flaw is hard-coded in ICM and
19 cannot be changed by the Commission or intervenors.)

20

21 **DS-1 Unbundled Loops:**

22 • Verizon's proposed charges for DS-1 Loops are a multiple of the rates
23 charged by Verizon in other jurisdictions and those charged by some
24 other RBOCs. The costs are inflated for the most part because

1 Verizon assumes excessively low fill factors for its SONET based
2 transport.

3

4 **EELs:**

- 5 • As with many of its other rates, Verizon's rates for multiplexing are a
6 multiple of those charged by other ILECs and by Verizon itself in other
7 jurisdictions. Much of the costs are calculated in the "black-box" ICM
8 model, and thus the source of the inflated costs can not be determined
9 with certainty. However, most likely it concerns excessively low fill
10 factors for 357c equipment. The fills should be no lower than 90%.

11

12 **Switching Cost Studies:**

- 13 • The GTD-5 is not used by Verizon anywhere except for former GTE
14 operations. It should be eliminated from the forward-looking, least-cost
15 technology mix.
- 16
- 17 • Switching studies should be based on an appropriate weighting of the
18 high discounts for new switches and low discounts for growth on
19 existing switches -- not the lower growth discounts used by Verizon in
20 SCIS and COSTMOD. Exhibit AHA-3 provides calculations of
21 determining the appropriate weighing of growth and cutover lines using
22 a method that considers the relative proportion of new and growth
23 facilities over the entire economic life of a switch. The result is a

1 weighing of 72% new/cutover line discounts and a 28% growth line
2 discounts.

3

4 Verizon's rate proposal that requires CLECs to purchase features
5 on an *a la carte* basis is generally anticompetitive and serves only to
6 artificially inflate recurring and non-recurring charges. Monthly switch port
7 charges should include the availability and use of all features. This
8 eliminates the need for any service ordering activities and associated
9 nonrecurring costs for features.

10

11 **Non-recurring Charges:**

- 12 ● Nonrecurring charges should be based on forward-looking, least cost
13 processes and exclude the need for expensive labor intensive manual
14 processes.

15

16 **Geographic De-Averaging:**

- 17 ● Rates should be appropriately de-averaged to reflect cost variations
18 across geographic regions. Verizon's opposition to de-averaging
19 based on arguments regarding universal service concerns should be
20 ignored.

21

22 **Cost of Capital:**

- 1 • Based upon the Commission's decision in the BellSouth phase of this
2 proceeding and the orders I cite from New York and New Jersey, I
3 recommend that the Commission set Verizon's cost of capital no higher
4 than the 10.24% approved for BellSouth and no lower than the 8.8%
5 approved for Verizon in New Jersey. In doing so, the Commission should
6 require that equity comprise no more than 60% of Verizon's capital
7 structure.

8

9 **Depreciation:**

- 10 • I recommend that the Commission use the range of FCC approved
11 lives. However, if the Commission does not accept my
12 recommendation to use the range of projection lives approved by the
13 FCC, then I recommend that the Commission adopt the lives approved
14 for BellSouth in the earlier phase of this proceeding since they are
15 relatively close to those approved by the FCC.

16

17 **III. GENERAL RATE COMPARISON AMONG VERIZON**
18 **COMPANIES**

19

20 **Q. HAS QSI REVIEWED VERIZON'S COST STUDIES IN OTHER**
21 **JURISDICTIONS?**

22 **A.** Yes. Over the last two years, QSI has participated in TELRIC
23 proceedings for Verizon in a number of jurisdictions, such as New Jersey,
24 New York, Maryland and Massachusetts.

1

2 **Q. SHOULD VERIZON'S COSTS HERE IN FLORIDA BE COMPARABLE**
3 **TO THOSE IN OTHER JURISDICTIONS AND REFLECT THAT**
4 **VERIZON IS THE NATION'S LARGEST ILEC?**

5 A. Yes. But reading Verizon's testimony, it is obvious that the company is
6 using cost analysts and costs studies from the old GTE companies. The
7 witnesses are former GTE employees and the ICM cost model is used
8 nowhere else by Verizon but for the former GTE companies.

9 The Commission should make every effort, however, to evaluate
10 the cost studies and the proposed rates against the standards that applies
11 to *Verizon as the nations' largest local exchange carrier*. Since the
12 merger, the former GTE companies operate under Verizon management
13 and procedures and facilities and network equipment are being procured
14 under Verizon contracts. The combined company -- as Verizon itself
15 argued in its merger application -- will be able to operate more efficiently
16 by implementing best practices and leveraging its buying powers
17 associated with large volume purchases.

18 In the post-merger environment, therefore, it is important that the
19 Commission evaluate Verizon's cost studies and rates filed in the current
20 proceeding against, among other standards, filings made by Verizon for
21 the same unbundled elements in proceedings in other states. Of course,
22 this type of comparative evaluation, which involves comparisons of rates
23 and costing procedures, is standard practice for larger ILECs, such as

1 Verizon, SBC, BellSouth and Qwest. In fact, the Commission itself
2 routinely considers for comparison evidence concerning, for example,
3 BellSouth's proposals and rates in other BellSouth states. Such cross-
4 state comparisons reveal interesting patterns and can point the
5 Commission to inconsistencies in company positions that may adversely
6 affect the public interest in Florida. In short, given that the former GTE
7 operations now operate as part of Verizon, the studies and rates should
8 be evaluated not just against the FCC's TELRIC standard but against
9 Verizon filings in other states as well as those of similar large ILECs such
10 as BellSouth.

11

12 **Q. ALTHOUGH COMPARISONS TO OTHER JURISDICTIONS ARE**
13 **USEFUL, SHOULD RATES BE TELRIC BASED?**

14 A. Yes. The comparison of Verizon's cost studies and rate proposals filed
15 here in Florida against those filed by Verizon in other states only serves to
16 detect obvious attempts to inflate costs. For example, if Verizon here in
17 Florida proposes certain switching rates while the same switching
18 functionality is offered by Verizon in New Jersey, New York, and other
19 states at a fraction of the costs, then the Commission knows that Verizon's
20 cost studies filed in Florida are artificially inflated. The rates in other
21 states act as a "sanity check" but ultimately the Commission must set
22 TELRIC-based rates.

23

1 Q. ARE VERIZON'S PROPOSED RATES UNREASONABLY HIGH
2 RELATIVE TO VERIZON'S RATES FOUND IN OTHER STATES?

3 A. Yes. Exhibit AHA-4 compares for a select set of UNEs Verizon's rates
4 proposed here in Florida to Verizon's rates in two other jurisdictions where
5 Verizon's rates have recently been reviewed.

6 It is clear from this comparison that Verizon's proposed rates are
7 unreasonably high relative to those that prevail in other Verizon states
8 where rates have recently been evaluated. I believe the rates are so high
9 because, among other reasons, the GTE witnesses and GTE cost models
10 continue to rely on GTE's embedded operations and simply fail to reflect
11 the post merger environment and the efficiencies of Verizon as the largest
12 ILEC in the nation.

13
14 Q. BUT ARE THERE NO ASPECTS OF VERIZON'S OPERATIONS HERE
15 IN FLORIDA THAT WOULD CAUSE IT TO HAVE HIGHER COSTS
16 THAN ELSEWHERE?

17 A. This argument should be treated with great suspicion. First, Verizon has
18 used this very same argument in other states, such as New York, to justify
19 higher proposed rates. Second, this argument is unpersuasive where it
20 concerns costs related to functions such as switching and service
21 ordering. On a forward-looking basis, switches will be purchased under
22 the Verizon contracts that are serving-area wide and reflect the
23 purchasing power of the larger corporation. Given that some of the cost

1 components of switching, such as real estate, are likely to be cheaper for
2 Verizon's operations here in Florida than, for example, those in
3 Manhattan, switching costs here in Florida should be comparable and
4 possibly lower than those in New York. Also, service ordering and many
5 functions associated with the non-recurring charges should reflect the
6 efficiencies of Verizon's operations and should not be evaluated based on
7 the much smaller GTE operations. GTE's former service ordering centers
8 presumably are – or should be – consolidated with the Verizon service
9 ordering centers (surely, they should be presumed consolidated for cost
10 study purposes.) As such, the costs should be roughly the same as
11 elsewhere for Verizon. Moreover, given the size of Verizon's operations,
12 many of the non-recurring charges should, in fact, be no higher than, say,
13 those approved by the Commission for BellSouth.

14 Third, as long as costs are appropriately de-averaged, the
15 Commission should be able to make an apples-to-apples comparison
16 between Verizon's rates proposed here and the Verizon's rates that
17 prevail in other states. For example, it is not clear to me why Verizon's
18 proposed loop rates in the rural areas (Zone 3) should be *more than*
19 *seven times as high* as Verizon's loop rates in wooded, remote,
20 mountainous, rural New Jersey. One is left wondering: how wild and
21 uncultivated does Verizon think that rural Florida is?

22

1 In short, it is no longer appropriate for the former GTE analysts to rely on
2 the notion that their cost studies are for a smaller more rural local
3 exchange company that may need protection in order to preserve
4 universal service, arguments heavily relied on in the past by GTE
5 witnesses. Verizon is the largest ILEC in the nation – the Commission
6 should treat it as such.

7

8 **Q. IF THE COMMISSION ARTIFICIALLY PROTECTS VERIZON FROM**
9 **COMPETITION WILL THIS BE DISCRIMINATORY TOWARDS**
10 **BELLSOUTH AS WELL?**

11 A. Yes. Obviously, at the rates proposed by Verizon, no UNE based
12 competition will be possible in Verizon’s serving area in Florida. This
13 result should be most troublesome to BellSouth. First, to the extent that
14 competition continues to grow in Florida, it will tend to favor the BellSouth
15 serving area since the UNE rates are relatively more favorable. Further,
16 as competition develops between BellSouth and Verizon, BellSouth faces
17 an uphill battle in that Verizon will have certain territories that are relatively
18 off limit to competition while the Commission may continue to set rates for
19 BellSouth’s UNEs that to a greater or smaller degree do allow for
20 competitive entry. The old practice of protecting GTE as a smaller and
21 more rural company is simply no longer appropriate and will lead to
22 troublesome distortions not just for the CLECs but for BellSouth as well.

23

1 **IV. GENERAL COSTING AND PRICING ISSUES**
2

3 **Q. PLEASE DISCUSS THE GENERAL COSTING PRINCIPLES BY WHICH**
4 **VERIZON-FL'S COST STUDIES SHOULD BE EVALUATED.**

5 A. In general, Verizon's cost studies should be reviewed in light of the FCC's
6 TELRIC principles as defined in the FCC's Local Competition Order and the
7 Commission's own TELRIC Orders. In general, the TELRIC principles can be
8 summarized as follows:

9

10 Principle # 1: *The firm should be assumed to operate in the long*
11 *run.*

12

13 Principle # 2: *The relevant increment of output should be total*
14 *company demand for the unbundled network element*
15 *in question.*

16

17 Principle # 3: *Technology choices should reflect least-cost, most*
18 *efficient technologies.*

19

20 Principle # 4: *Costs should be forward-looking.*

21

22 Principle # 5: *Cost identification should follow cost causation.*

23

24 **Q. HAS THE FCC MADE OTHER RELEVANT COMMENTS REGARDING**

1 **OPERABILITY OF COST MODELS?**

2 A. Yes. In addition to these TELRIC principles, the FCC also noted that
3 *cost models should be transparent, open and verifiable* by Commissions
4 and intervenors. The FCC directed that in upcoming cases to be arbitrated
5 by the FCC, involving VerizonVerizon and three CLECs, computerized
6 cost models "must be submitted in a form that allows the Arbitrator and the
7 parties to alter inputs and determine the effect on cost estimates."
8 (Procedures Established for Arbitration of Interconnection Agreements
9 Between Verizon, AT&T, Cox, and WorldCom, DA 01-270 (February 1,
10 2001), Paras. A.2.1.i; A.3.1.c.)

11 In my review of the cost studies I will continuously refer back to
12 these basic but essential cost principles.

13

14 **Q. IN YOUR OPINION, IS VERIZON' COST MODEL TRANSPARENT,**
15 **OPEN AND VERIFIABLE BY COMMISSION'S AND INTERVENORS?**

16 A. No. The ICM is not an open model. Cost analysts cannot verify the model
17 itself because it is nearly impossible to audit the algorithms without
18 extraordinary effort. Moreover, certain types of assumptions are
19 essentially "embedded" in the software program and cannot be altered
20 without rewriting and recompiling the programming code. I will elaborate
21 on the problems with Verizon's cost model later in my testimony.

22

1 **V. THE CLECS CAN NO LONGER AFFORD INFLATED RATE**
2 **PROPOSALS**
3

4
5 **Q. HAVE YOU PERFORMED A FINANCIAL ANALYSIS TO SHOW THAT**
6 **THE COMPETITIVE INDUSTRY IS NO LONGER ABLE TO SUPPORT**
7 **VERIZON'S INFLATED RATE PROPOSALS?**

8 A. Yes. I have performed an analysis that calculates the dramatic change in
9 market value of the CLEC industry over the period of December 31, 1999
10 through April 23, 2001, based on the value of the common shares held by
11 investors. For the IXC and CLEC industries, the total decline in market
12 capitalization over this period is a staggering *\$405 billion, or 64%*. Exhibit .
13 AHA-2 illustrates the CLECs, IXCs, and RBOCs for which the change in
14 market capital has been calculated. The data for just CLECs, excluding
15 IXCs, is *\$122 billion, or 69%*. By contrast, the RBOCs experienced declines
16 in market capitalization over the same period of *only 16%*, a percentage
17 roughly comparable to the decline in the S&P 500 Index.

18
19 **Q. PLEASE DESCRIBE IN MORE DETAIL HOW YOU CALCULATED THE**
20 **CHANGE IN MARKET CAPITALIZATION.**

21 A. As noted, this change in value was determined from December 31, 1999
22 to April 23, 2001. Market capitalization as of December 31, 1999 was
23 used as the baseline value for two primary reasons: (1) this point in time
24 was still within the bull market period before the first significant market
25 correction took place in the first quarter of 2000; and (2) the components

1 necessary to calculate market capitalization, common shares outstanding
2 and market price, were both readily available from publicly available
3 sources such as websites that provide current and historical price quotes
4 and Securities Exchange Commission ("SEC") filings.

5 The companies included in the analysis were classified into three
6 categories:

7 **(1) CLECs & Wholesale Suppliers**

8 This category includes CLECs and wholesale suppliers. Not
9 included are the CLEC divisions of the major IXCs – they are
10 included in the third category described below. (The companies
11 included in this category are identified in Exhibit AHA-2.)

12
13 **(2) RBOCs**

14 This category includes the four remaining RBOCs: Qwest, SBC,
15 BellSouth, and Verizon.

16
17 **(3) Major IXCs**

18 This category includes the major IXCs: Williams Communications,
19 Level 3 Communications, Global Crossing, Sprint, WorldCom, and
20 AT&T.

21
22 These categories mirror the groups of companies that are
23 compared and contrasted within the Kellogg-Huber Report of April 5,

1 2001, *Competition for Special Access Service, High Capacity Loops, and*
2 *Interoffice Transport*, attached to the petition filed by Verizon, SBC and
3 BellSouth before the FCC to be relieved of their obligations to provide
4 unbundled access to high-capacity facilities. (Joint Petition of BellSouth,
5 SBC, and Verizon for Elimination of Mandatory Unbundling of High-
6 Capacity Loops and Dedicated Transport, CC Docket No. 96- 98, DA 01-
7 911, April, 2001).

8 Major IXCs such as AT&T, WorldCom, Level 3, and Sprint that also
9 operate as CLECs were separated from the CLECs & Wholesale
10 Suppliers category because the nature and scope of their operations are
11 quite different from the other CLECs.

12 The Debt to Equity ratio was also determined for each company
13 over the same time period to measure changes in relative financial
14 strength based on the amount of debt used to fund operations versus
15 stockholder's equity. Large ratios or ratios that increase over time indicate
16 declining financial strength as debt becomes a larger component of the
17 firm's capital structure. This can be attributed to a greater use of debt as
18 equity markets dry up, declining stockholder's equity as a result of
19 accumulated operating deficits, or a combination of both.

20

21 **Q. PLEASE DISCUSS THE RESULTS OF YOUR ANALYSIS.**

22 A. The analysis demonstrates that the competitive carriers have suffered
23 serious financial setbacks over the last year. The decline in market

1 capitalization for the three categories, CLECs & Wholesale providers,
2 RBOCs and Major IXCs, is 69%, 16%, and 62% respectively.

3 A more detailed breakdown of the decline in market capitalization
4 for these three categories of carriers is found in tables 1, 2, and 3 in
5 Exhibit . AKA-5. The summary results are illustrated in the graphs.

6 *A large number of publicly traded CLECs have filed for bankruptcy*
7 *protection or liquidation in the last six months* and others are on the brink
8 within the year. The number of remaining CLECs that have reported
9 negative stockholders' equity due to accumulated operating deficits
10 increased to nine as of December 31, 2000 compared to five as of
11 December 31, 1999.

12 Since the market capitalization decline of the CLECs and IXCs is
13 significantly greater than for the RBOCs, the relative value of each group
14 to the total of the three groups combined has also changed dramatically.
15 Exhibit AHA-2 illustrates the increasing relative financial strength of the
16 RBOCs over the last 15 months.

17 It is clear from revenue of this exhibit that the financial strength of the
18 remaining four RBOCs is increasingly dominating the telecommunications
19 industry. It is also clear that the state of the CLEC industry is not as rosy as
20 Verizon would have the Commission believe.

21

1 Q. HAS THE FINANCIAL DECLINE IN MARKET CAPITALIZATION OF
2 THE CLEC INDUSTRY BEEN NOTED BY THE FINANCIAL
3 COMMUNITY AND THE PRESS?

4 A. Yes. The collapse in market value of the competitive telecommunications
5 industry, including long distance, which is apparent from the financial data,
6 has been duly noted by the financial community and the press. Not a day
7 goes by without some pundit or another commenting on the dismal state
8 of telecommunications competition. As Brian Adamik of the Yankee
9 Group concludes:

10 In telecommunications, we are rolling back the competitive
11 progress made over the last ten years – disabling the enabling
12 industry of economic growth when we need it most. (Brian Adamik,
13 Yankee Group, *The Death of Competitive Telecom?* CBS
14 MarketWatch, May 3, 2001).

15 Other articles go so far as to declare the entire competitive effort to be
16 a failure and note that the RBOCs have slowly but steadily out-maneuvered
17 their would-be competitors. A recent article in The New York Times declared
18 that the battle is over:

19 Of the Baby Bell local phone carriers, once seven in number, three
20 [sic] remain — Qwest Communications, SBC Communications and
21 Verizon Communications — and they are by far the most powerful and
22 important communications companies in the nation. The corporations
23 once known as long-distance carriers, like AT&T, are shells of their former

1 selves. ... The Bells — the race's tortoises — have won. (Seth Schiesel,
2 *Sitting Pretty: How Baby Bells May Conquer Their World*. The New York
3 Times, Money & Business, Section 3, page 1. Sunday, April 22, 2001.

4 The potential danger to the nation's economy cannot be overstated.
5 As is well recognized, the telecommunications industry is a critical component
6 in the "high-tech engine" that has propelled our economy forward over a
7 period longer than any other in modern times. That "engine" is now at risk of
8 being usurped – as a natural result of the corporate quest for profit
9 maximization – by a small group of very powerful companies: the RBOCs. As
10 *Wired* magazine notes in yet another article on the demise of the competitive
11 telecommunications industry:

12 The Bells own 88 percent of the local lines in the US and upgrade
13 on their own terms – conveniently, after most of their competitors
14 have died off. (Frank Rose, *Telechasm: Can we get to the future*
15 *from here? First we have to get telecom out of the Stone Age*.
16 *Wired*, May 2001, page 131).

17
18 Whatever may be the merit of these somber prognoses, the fact
19 remains that the competitive telecommunications industry is struggling to
20 survive. In the war of attrition, waged by the RBOCs against their
21 competitors, in the market place, in the U.S. Congress, the courts, and before
22 regulators, it has not gone well for the CLEC industry: and the financial
23 community knows it. Since regulatory policies are a critical component of the

1 overall landscape, it is most important that regulators stand firm – now more
2 than ever – against all attempts on the part of the ILECs to raise barriers to
3 entry any further.

4 **V. GENERAL DISCUSSION OF VERIZON'S (GTE'S) ICM**
5 **MODEL**
6

7 **HAVE YOU REVIEWED VERIZON'S (GTE'S) ICM MODEL?**

8 A. Yes, I have reviewed the written testimony, data responses, and the
9 supporting documentation for ICM. I have also examined the ICM model
10 itself, as it was provided on CD.

11 ICM is a computerized cost modeling system. It is a very complex
12 software application that accepts certain types of inputs, and performs
13 calculations to determine the costs of Basic Network Functions ("BNFs")
14 and Unbundled Network Elements ("UNEs"). Included among those UNEs
15 are the costs of loops, basic switching, vertical switch features, transport,
16 and signaling. The ICM was written using the Delphi programming
17 language, and also makes use of Paradox tables for data storage. This
18 data is called on and acted upon by the Delphi programming code. Both
19 Delphi and Paradox are software products developed by Borland
20 International, Inc.

21 For switching inputs, ICM relies on information generated from two
22 external models. One model, the "Switch Cost Information System"
23 ("SCIS"), is produced by Bellcore. SCIS calculates basic switching and
24 vertical switching service costs for Nortel and Lucent switches. A second

1 model, GTE's "COSTMOD," calculates basic switching and vertical
2 switching service costs for the GTD-5 switch. The outputs from these
3 switching models are input into the ICM.

4 In addition to the switching models, an activity-based cost study
5 and a common cost study are conducted externally to the ICM. Finally,
6 material costs and placement costs for those materials are included in
7 database tables in ICM. This information is derived from material and
8 labor contract information.

9
10 **Q. MR.DAVID C.TUCEK CONTENDS THAT THE ICM MODEL IS OPEN TO**
11 **INSPECTION AND REVIEW (TUCEK, DIRECT TESTIMONY, P. 10). IS**
12 **THE ICM MODEL SUFFICIENTLY OPEN TO ALLOW FOR A**
13 **COMPLETE AUDIT OF THE MODEL'S ALGORITHMS AND RESULTS?**

14 **A.** No. Being open to inspection and being open to review is not the same as
15 being sufficiently open to allow for a complete audit of the model's
16 algorithms and results. While one can see the ICM's programming code,
17 one cannot readily change it and evaluate the results of the changes. The
18 ICM software program is not sufficiently flexible to allow model auditing
19 and inputting of different assumptions in order to compare various
20 possible outcome scenarios.

21 In New York and New Jersey, for example, Verizon provides almost
22 exclusively Excel-based models that are completely open and that be can
23 audited and *edited on a cell-by-cell* basis. The importance of open models
24 cannot be overstated: cost analysts simply cannot verify cost studies

1 results if they cannot verify the models themselves. ICM is not an open
2 model in that it is nearly impossible to audit the model's algorithms without
3 extraordinary efforts that go well beyond what should be required of
4 intervenors in regulatory proceedings – particularly since transparent
5 Excel-based models can do everything that the ICM model does and
6 provide easy auditing capabilities.

7 Further, the ICM has been designed so that certain types of
8 assumptions are essentially “embedded” in the software program, and
9 cannot be altered without re-writing and re-compiling the programming
10 code. In other words, the computer model already essentially
11 incorporates certain decisions about issues that are controversial in these
12 type of proceedings, making it difficult or impossible to see what the result
13 would be of an alternate assumption. The ICM is thus not an “open”
14 system, and this makes it difficult to use as a common platform for
15 comparing Verizon's proposals here with those presented by the company
16 elsewhere.

17 For example, ICM assumes that digital loop carrier (“DLC”)
18 equipment is placed beyond a predetermined fiber-copper cross-over
19 point, but in many instances this costly DLC equipment may serve only a
20 few customers. In such instances, it might be more efficient to employ
21 longer copper loops with range extension systems. This built-in
22 assumption greatly increases loop costs by assuming a network

1 architecture that is illogical and wasteful, yet it cannot be easily changed
2 within the ICM.

3

4

**Q. CAN YOU PROVIDE AN EXAMPLE OF A SPECIFIC ERROR THAT
5 INTERVENORS FOUND IN VERIZON'S LOOP MODEL IN NEW YORK
6 THAT THEY WOULD NEVER BE ABLE TO FIND IN THE "BLACK
7 BOX" ICM MODEL?**

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

A. Yes. In New York, Verizon inadvertently made an error in its loop cost calculation for a type of DLC system that was one of the main cost drivers in the model. The model included DLC systems that can accommodate anywhere from 96 to 2016 lines, with a DLC system that could accommodate 672 voice grade lines being the one most common one. The model, however, recovered the cost of this 672 DLC system over 192 lines associated with a much smaller 192 DLC system as opposed to over 672 lines (prior to accounting for fill factors.) This calculation was clearly an error in the model since it differed from the manner in which the costs for the DLC systems of all other sizes were calculated. In fact, it was almost certainly a result of a "cut-and-paste" job where a Verizon cost analyst forgot to change the 192 line count (from the calculations for the 192 DLC system) to the 672 line count for the 672 DLC. The result was that the cost of the 672 DLC system was approximately 3.5 times higher than it should have been.

1 The important point is that while in New York other intervenors and QSI
2 witnesses were able to examine the loop cost model in full detail and
3 identify this type of error, here in Florida no such audit of the ICM model is
4 possible. Quite literally, the Commission is asked to take it on faith that
5 Verizon's analysts have made no errors in their programming of the ICM.
6 This is a grant request that implies the heroic assumption that Verizon
7 personnel are infallible. Given the wide and largely unexplained
8 discrepancy between the rates proposed by Verizon in Florida and those
9 that prevail in other Verizon states, this assumption seems entirely
10 unwarranted. That is, there are reasons to believe that the ICM is riddled
11 with errors that cause costs to be higher than they should be.
12 Unfortunately, neither Staff nor intervenors are able to line edit the ICM's
13 algorithms -- the truth is Verizon-Florida's proposed rates are based on
14 "black box" calculations that have not been audited by either Staff or
15 intervenors. This should trouble the Commission greatly.

16

17 **Q. HOW DOES THE ICM MODEL COMPARE TO VERIZON'S EXCEL**
18 **MODELS PRESENTED IN NEW YORK AND NEW JERSEY?**

19 A. The ICM model, once one is acquainted with the model, is relatively easy
20 to run; however, it is form over substance. The purpose of this proceeding
21 is not to establish how *user friendly* the model is for personnel who only
22 need to run the model for variations in a predetermined set of inputs. The
23 purpose is to *audit* and *verify* that the model functions properly and

1 models the least cost network design to provide the required services and
2 network elements to the correct locations - and, for all practical purposes,
3 that is impossible with the ICM.

4

5 **VI. VERIZON'S LOOP COST MODEL**

6

7 **Q. HAVE YOU REVIEWED VERIZON'S LOOP COST MODEL?**

8 A. Yes. I have reviewed Verizon's testimony, discovery responses and
9 electronic version of the ICM model and I have found a significant number
10 of problems with Verizon's loop cost model.

11

12 **Q. PLEASE SUMMARIZE THE PROBLEMS THAT YOU HAVE FOUND
13 WITH VERIZON'S LOOP STUDY.**

14 A. I have found the following problems:

15

16 -- Verizon's fill factors are generally too low.

17

18 -- IDLC technology, not UDLC technology as proposed by Verizon, is
19 the least-cost, forward looking technology.

20

21 -- Verizon's studies fail to reflect an appropriate concentration ratio for
22 IDLC based loops.

23

24 -- Verizon's assumed drop lengths are too long.

1 In addition to the aforementioned problems, Verizon's cost studies must
2 also be changed to reflect the necessary adjustments to Verizon's shared
3 and common cost mark-ups and annual charge factors.

4 In what follows, I will discuss each of these issues in more detail.

5

6 **A. VERIZON'S LOOP FILL FACTORS ARE GENERALLY TOO LOW**

7

8 **Q. HAVE YOU BEEN ABLE TO EXAMINE VERIZON'S LOOP FILL**
9 **FACTORS?**

10 **A.** Not really. As previously discussed, the ICM's algorithms are
11 cumbersome if not impossible to audit. As a result, I have not been able
12 to determine for the various components of the loop what the fill factors
13 are and, specifically, how and where in the model the fill factors are
14 applied.

15

16 **Q. DOES ICM REPORT CERTAIN GLOBAL FILL FACTORS?**

17 **A.** Yes. The ICM model reports fill factors for both the feeder and the
18 distribution facilities: they are 93.59% and 38.27% respectively. It is
19 unclear, however, whether these fills are calculated to include spare
20 applied in the model for administration, deficient pairs, and maintenance.
21 Further, it is not clear which components of the feeder and distribution
22 facilities are included in these calculations.

23

24 **Q. ARE VERIZON'S PROPOSED LOOP FILLS APPROPRIATE?**

1 A. No. I believe that Verizon's proposed fill factors are inefficiently low,
2 particularly Verizon's distribution fills.

3 To see the importance of fill factors in cost studies, the Commission
4 should consider that a fill factor of, for example, less than 40% for distribution
5 facilities, such as proposed by Verizon, has the effect of increasing costs by
6 no less than two and a half times. Thus, while it may cost Verizon only \$3.00
7 to provide a distribution link of a basic loop, an assumed fill factor of 40%
8 increases the costs to dependent competitors to \$7.50.

9 In various sections below, I will discuss Verizon's proposed fill
10 factors individually and explain why a number of them are inappropriately
11 low. At this point, however, I will discuss why, in general, Verizon's
12 proposed use of fill factors is discriminatory and anti-competitive.

13

14 **Q. PLEASE DISCUSS SOME OF YOUR GENERAL OBJECTIONS TO**
15 **VERIZON'S DETERMINATION OF ITS FILL FACTORS?**

16 A. My objections are threefold.

17 First, Verizon typically lists a large number of considerations -- such
18 as the need to deploy spare facilities for growth, maintenance, repair,
19 customer-churn -- to justify low fill factors. Verizon then proceeds to
20 assign values to each of these factors and, by doing so, further reduces
21 the utilization rate. In the process, Verizon ignores the fact that spare for
22 growth can be used for maintenance and repair and that spare for repair
23 can be used for maintenance, etc. By making such compounded

1 reductions to the fill factors in such a manner, Verizon artificially reduces
2 the level of utilization that is possible on various facilities.

3 By analogy, the Commission should consider that a two-car garage
4 does not need to be twice as large as a one-car garage because it needs
5 less spare space for cars to be able to open their doors. Clearly, a one-car
6 garage needs space on both sides of the car for driver and passengers to
7 be able open their doors. For a two-car garage, however, both cars can
8 use the space between the two-cars to open their doors (though obviously
9 not at the same time.) Thus, a two-car garage needs less *spare* space
10 than two one-car garages. By the same reasoning, again, spare for growth
11 can be used for other purposes. Verizon ignores this.

12 Second, CLECs should not be required to pay for spare for growth
13 as Verizon's proposed fill factors require. The result of this proposal is
14 that, if approved, CLECs will pay for facilities placed to serve Verizon's
15 *future customers* – *i.e.*, CLECs will be required to pay for facilities that
16 Verizon uses when competing against CLECs for such customers. Of
17 course, CLECs will be able to use those facilities as well, but only after
18 they pay for them once again. By contrast, Verizon can at any moment
19 avail itself of the spare facilities that the CLECs are paying for and use
20 those facilities to compete against the CLECs.

21 Consider a situation in which a CLEC wants to serve the tenants in
22 a new business park that is wired with 1000 lines. Now assume that the
23 CLEC succeeds in attracting all of the tenants in this new business park

1 and serves them by means of 500 unbundled loops from Verizon. Further
2 assume, for simplicity sake, that the price for those loops is based on a
3 50% fill factor. Thus, the CLEC, in effect, pays for 1000 loops: it pays for
4 500 loops it gets to use and it pays for an additional 500 spare loops,
5 which Verizon gets to use if it so chooses. I note that different fill factors
6 apply to different parts of the loop. This observation, however, does not
7 alter the conclusion of the example, that VZ's proposal is discriminatory
8 and anticompetitive.

9 It is important to note that Verizon is now in the ideal, and enviable,
10 position to approach the tenants in the business park (served by the CLEC),
11 and to offer them cheap, nearly free service (additional fax or modem lines,
12 special lines for long distance calling, etc.), by using the 500 spare loops.
13 Again, Verizon can price these spare loops at a steep discount because the
14 CLEC is already paying for them (and will continue to pay for them as long as
15 it continues to lease the 500 unbundled loops from Verizon).

16 The Commission should recognize that it would indeed be foolish for
17 Verizon not to offer a steep discount package to sell tenants the 500 spare
18 loops – they are being paid for by the CLEC and would otherwise be sitting
19 idle. The Commission should also recognize that such a competitive
20 asymmetry is not sustainable. *CLECs cannot viably compete if it they are*
21 *forced to pay for the very "spare" facilities that Verizon will use to compete*
22 *against them.*

23

1 This practice is discriminatory, anti-competitive and inconsistent
2 with the FCC's First Report and Order. Moreover, in the long run, CLECs
3 will not be able to compete under this kind of a costing arrangement. The
4 point is that fill factors should not reflect spare for future customers –
5 future customers should pay for their own facilities.

6

7 **Q. WHAT FILL FACTORS DO YOU RECOMMEND?**

8 A. In the sections below, I will discuss each of Verizon's proposed fill factors
9 individually and explain why they are generally too low. If fills reflect an
10 optimally efficient network, then they would be much closer to the levels
11 adopted by, for example, the Michigan Public Service Commission for
12 TELRIC studies. The fill factors adopted by the Michigan Public Service
13 Commission and those that I recommend are found in Exhibit AHA-6.

14 In what follows, each of Verizon's proposed fills is discussed
15 individually.

16

17 **1. Verizon's distribution fills are too low**

18

19 **Q. PLEASE DESCRIBE HOW VERIZON DETERMINED ITS**
20 **DISTRIBUTION FILL.**

21 A. Verizon's ICM model reports a average weighted distribution fill of
22 38.27%. (See, *ICM Report Viewer Unbundled Network Elements OSP Fill*

1 Factors.) As noted, it is not clear how ICM calculates this fill or what
2 components of the distribution portion of the loop are included.

3

4 **Q. DOES IT APPEAR THAT VERIZON HAS USED THE FILL THAT IT**
5 **ACTUALLY EXPERIENCES IN ITS NETWORK?**

6 A. Yes. The fill factors for distribution facilities are so low that it appears that
7 Verizon is modeling is actual embedded network and not a forward-
8 looking, least-cost network consistent with TELRIC. Further, it appears
9 that Verizon has included large amounts of spare facilities to
10 accommodate anticipated growth in demand by future customers. In fact,
11 Verizon notes that the distribution fill reflects that facilities are built "to
12 serve ultimate demand." (See Tuceck, page 29, line 5.)

13

14 **Q. IN A TELRIC SETTING IS IT APPROPRIATE TO INCLUDE SPARE**
15 **FACILITIES FOR ANTICIPATED GROWTH IN DEMAND BY FUTURE**
16 **CUSTOMERS?**

17 A. No. Current customers (in this case CLECs) should only pay for the
18 facilities that they will use. That is, they should only pay for current
19 demand levels. Most certainly, current customers should not pay for
20 facilities placed for future customers, as proposed by Verizon. Under the
21 cost causation principle – essential to TELRIC – cost causers should pay.
22 Since future customers are the cost causers for the spare facilities in

1 Verizon's cost studies, it is future customers that should pay for those
2 spare facilities and not the current customers, the CLECs.

3

4 **Q. DID THE FCC FIND THAT SPARE SHOULD BE BASED ON A**
5 **REASONABLE PROJECTION OF ACTUAL DEMAND?**

6 A. Yes. In paragraph 682 of its Local Competition Order the FCC found the
7 following:

8

9 Per-unit costs shall be derived from total costs using
10 reasonably accurate "fill factors" (estimates of the proportion
11 of a facility that will be "filled" with network usage); that is,
12 the per-unit costs associated with a particular element must
13 be derived by dividing the total cost associated with the
14 element by a reasonable projection of the actual total usage
15 of the element.

16

17 This means that unit costs should be calculated by using as the
18 denominator "a reasonable projection of actual usage of the element," i.e.,
19 by including in the denominator future customers. That is, by including in
20 the denominator future customers, future customers pay for the spare
21 facilities placed to accommodate this anticipated growth in demand. And,
22 most importantly, current customers pay only for the facilities used to
23 serve current demand. To be sure, Verizon's modeling practices appear
24 to totally violate the FCC's directives in this regard.

1 **2. Verizon's Fills For Drop Facilities Are Too Low**

2

3 **Q. HOW DOES VERIZON DETERMINE THE FILL ON DROP FACILITIES?**

4 **A.** The fill on drop facilities is determined as a combination of user inputs and
5 the pre-programmed algorithm of ICM. Residential and business drops
6 are calculated separately and based on their own assumptions. The fill
7 factor issue here is obscured, however, by how the drop facilities are
8 identified.

9

10 **Q. PLEASE EXPLAIN THIS PROBLEM IN MORE DETAIL.**

11 **A.** Verizon assumes in the model that there are 3 drops to every residential
12 unit in distribution units (distribution areas) with 500 residential units or
13 less. For demand units with more than 500 residential units, the model
14 assumes 25 pair entrance cables. Next, the model assumes a fill of 50%.

15

16 It is clear that this method obscures the level of effective fill since it
17 is not apparent *how many residential units are served over the 25 pair*
18 *cable*. Presumably, this information can be extracted for individual
19 distribution areas from ICM if one were to dig deep into the code and were
20 to do separate sensitivity runs, which would be an enormous undertaking
21 that is simply infeasible for Staff and intervenors.

22

1 **Q. IS THE FILL FACTOR ON THE DROP FACILITIES PARTICULARLY**
2 **IMPORTANT IN ICM?**

3 A. Yes. The drop is a very expensive portion of the loop in ICM due to the
4 manner in which the ICM treats drop facilities. Most importantly, ICM
5 assumes excessively long drops, making the facilities very expensive.
6 This issue is discussed in more detail below. Suffice it to say for now that
7 the combination of low fills and long drop facilities cause an inappropriate
8 inflation in loop costs.

9

10 **Q. WHAT IS YOUR RECOMMENDATION?**

11 A. I recommend that the Commission order Verizon to base its loop cost
12 studies on no more than 2 pairs per drop and not 3. Further, I recommend
13 that the fills on those drops are no lower than those approved for the
14 copper distribution links.

15

16 **3. Verizon's Copper and Fiber Feeder fills are too low**

17

18 **Q. WHAT FILL FACTOR HAS VERIZON ASSUMED FOR VARIOUS**
19 **FEEDER FACILITIES?**

20 A. As discussed, the ICM model reports fills on feeder facilities that are on
21 average 93.59%. However, it is entirely unclear how this number is
22 derived and which facilities it concerns. In fact, it is unclear whether this
23 fill factor includes spare for such reasons as deficient pairs, maintenance

1 and administration. In view of this, I have already presented a
2 recommendation regarding specific feeder facilities: fiber feeder, copper
3 feeder, COT, RT and channel units. What follows is a more detailed
4 discussion of the appropriate level of fill for these facilities.

5

6 **Q. PLEASE EXPLAIN WHY VERIZON SHOULD USE AT LEAST 90% FILL**
7 **ON COPPER FEEDER FACILITIES.**

8 A. In a move toward fiber-based feeder, Verizon's own engineering
9 guidelines explicitly *discourage the placing of new copper facilities* and
10 *encourage the maximum use of existing copper facilities.*

11 The use of forward-looking technologies clearly means that there
12 will be a migration toward fiber based feeder facilities. This means, in
13 turn, that – on a forward-looking basis and in a least cost
14 environment/network – little new copper feeder will be placed and existing
15 copper feeder will grow to its objective fill of 90%. The entire dynamic
16 used by Verizon of fill rising and falling as feeder facilities are reinforced
17 ceases to be a relevant with respect to fill factor determinations. *Once a*
18 *copper feeder facility reaches its maximum fill, it will most likely not be*
19 *reinforced*; rather fiber based DLC systems will be put in place to
20 accommodate growth. *This means that copper feeder fills should be*
21 *considerably closer to the stated objective fill of 90%.*

22

23 **Q. WHAT IS YOUR RECOMMENDATION FOR COPPER FEEDER FILL?**

1 A. I recommend that the Commission order a copper feeder fill of 85% as the
2 appropriate fill in a forward-looking, least cost network. This figure is
3 below the objective fill of 90% that already should exist on a large number
4 of routes, but recognizes that on a forward-looking basis feeder facilities
5 will be reinforced not with copper but with fiber.

6

7

4. Verizon's proposed DLC Electronic fill is too low

8

9 **Q. WHAT IS A CHANNEL UNIT OR A PLUG-IN?**

10 A. There are Channel Units for COTs and Channel units for RTs. The COT
11 Channel Unit is the facility on which a DS1 or DS0 channel terminates
12 between the COT and the switch (for switched circuits) or between the
13 COT and a collocation space or some other facility for non-switched
14 circuits. A RT Channel Unit is a plug-in card on which the copper sub-
15 feeder or distribution cables terminate. The cards are inserted in the
16 common equipment of the RT.

17

18 **Q. WHAT LEVEL OF FILL (OR RATE OF UTILIZATION) DOES VERIZON**
19 **ASSUME FOR THE CHANNEL UNITS?**

20 A. It is not clear from either the documentation or the ICM model what level
21 of fill is used for channel units.

22

23 **Q. WHAT LEVEL OF FILL IS APPROPRIATE FOR CHANNEL UNITS?**

1 A. Because Channel Units can be entered into the COTs and RTs as
2 demand emerges, a very high rate of utilization can be achieved. In
3 addition, the Channel Units can be placed to closely match the total
4 number of end-users that are served by DLC systems. Thus, to the extent
5 that there is growth, Channel Units can be placed on very short notice,
6 eliminating the need for anything but a minimal number of spares.

7 Further, Verizon's own testimony in other jurisdictions states that
8 Verizon places plug-ins to accommodate only six months of growth. (VZ-
9 MA Rebuttal testimony in Massachusetts, Docket 01-02). *Thus, even if*
10 *one were to assume 3% annual growth, then six months of growth would*
11 *still only constitute 1.5% spare plug-ins (which is 3% time 6/12). This*
12 *implies a fill of 98.5% (100% - 1.5%).* Accounting for other sources of
13 spare, such as maintenance, deficient units, administration (all of which
14 are quite minimal), a 95% fill is conservative.

15

16 In short, I recommend that the Commission adopt a fill for channel
17 units of 95%.

18

19 **Q. WHAT LEVEL OF FILL DOES VERIZON ASSUME FOR RT**
20 **ELECTRONICS FILL?**

21 A. Again, it is not clear from the documentation or the ICM model what level
22 of fill is used for the RT electronics.

23

1 Q. WHAT LEVEL OF FILL IS APPROPRIATE FOR COT AND RT
2 ELECTRONICS?

3 A. I recommend a fill of 90% for both the RTs and the COTs.

4 First, RTs are highly scalable pieces of equipment and can be
5 selected to serve customers anywhere from 92 lines to 2016. RTs can
6 also be expanded as new demand emerges. As a result, these expensive
7 pieces of electronics can be run at high levels of utilization.

8 Further, the COT can achieve an even higher fill than the RT
9 because it serves possibly up to 5 RTs. (The Dual Feeder Route software
10 for the Litespan 2000, for example, allows a COT to serve up to 5 RTs).
11 This means that depending on the size of the RTs, the COT can be
12 engineered to serve the optimal level of RTs so as to achieve an optimally
13 efficient fill. That is, when a COT has a low rate of utilization, then more
14 RTs can be added to increase the fill on the COT.

15

16 Q. GIVEN VERIZON'S ASSUMPTIONS ON THE DEPLOYMENT OF FIBER
17 BASED DLC SYSTEMS, WOULD COTS BE FULLY UTILIZED?

18 A. Yes. Under Verizon's forward-looking loop design, there will be
19 deployment of fiber based DLC systems. This means that in the loop cost
20 studies, there is a much larger number of RTs and COTs than in Verizon's
21 actual network. As a result, these facilities are more easily engineered to
22 achieve a very high level of fill.

23

1 **Q. WHAT LEVEL OF FILL DO YOU RECOMMEND FOR THE COT?**

2 A. I recommend a 90% level of fill for the COT.

3

4 **Q. DOES VERIZON'S OWN DOCUMENTATION INDICATE THAT**
5 **FEEDER ELECTRONICS BE MAINTAINED AT FILL LEVELS OF 90%**
6 **OR HIGHER?**

7 A. Yes. For example, Verizon's own engineering documents require
8 that certain types of DLC systems (SLC-96) are used **near full capacity**.

9 While this concerns slightly older equipment, the principle is the
10 same: DLC electronics can be run at very high levels of utilization.

11

12 **B. IDLC IS THE LEAST COST TECHNOLOGY**

13

14 **1. Loops Cost Studies Should Be Based On IDLC**

15

16

17 **Q. PLEASE EXPLAIN THE FUNCTION OF THE COT, THE GR303 AND**
18 **UNIVERSAL INTERFACES.**

19 A. The COT is the facility on which the fiber optic cables terminate in the
20 central office that converts the optical signals into electronic signals. From
21 the COT, loops either go to one of Verizon's switches or onward to a
22 CLEC as an unbundled loop. A simplified diagram is depicted in
23 Exhibit AHA-7.

24 **Q. ARE VERIZON'S LOOP COST STUDIES APPROPRIATELY BASED ON**
25 **IDLC SYSTEMS?**

1 A. It is unclear to me what configuration Verizon is assuming for its digital
2 loop carrier system. The loop cost documentation talks in terms of Next
3 Generation Digital Loop Carrier Systems, which seems to suggest that
4 Verizon is assuming IDLC in its loop cost studies. However, I would
5 caution the Commission against naively assuming that Verizon is in fact
6 basing its loop cost studies on IDLC.

7 First, QSI has examined Verizon's loop cost studies in New York,
8 New Jersey, Massachusetts and Maryland. In none of these states has
9 Verizon assumed 100% IDLC for fiber based loops. Further, in New York,
10 Verizon assumed that the IDLC systems would have expensive universal
11 interfaces (channel units), which was inappropriate and artificially inflated
12 costs.

13 Given that the ICM model is not sufficiently open to ascertain
14 precisely how the loops are provisioned, I cannot verify whether or not
15 Verizon is appropriately using the IDLC technology in its cost studies.
16

17 **Q. IS THIS ISSUE (IDLC VERSUS UDLC) IMPORTANT TO CLECS?**

18 A. Yes. There is a significant cost difference between the GR303 interface
19 and the universal interface. The cost differences are even larger if one
20 accounts – as one should – for the ability of the GR303 system to
21 concentrate traffic. Further, this particular issue is of utmost importance
22 for competitors for three reasons.

1 First, Verizon will use integrated DLC for purposes of providing
2 loops to its own retail customers. Integrated DLC is more efficient and
3 less expensive than non-integrated UDLC in a number of ways. .
4 Allowing Verizon to provision its retail services using more efficient, less
5 expensive IDLC technology while allowing it to provision unbundled loops
6 with more expensive, less efficient non-integrated UDLC, produces a
7 “competitive gap.”

8 Second, with the general marketplace trend toward “fiber to
9 the curb” (i.e., deploying fiber deeper into the local exchange to allow
10 higher bandwidth customer connections), Verizon will be deploying next
11 generation IDLC in sharply increasing numbers. All evidence indicates
12 that integrated DLC is the least cost, forward-looking technology for loop
13 facilities (and that Verizon will be deploying it). This means that all of the
14 problems described above (i.e., the “competitive gap” and the need to
15 unbundled IDLC) will only become more prevalent in the future. It is for
16 this reason that the Commission must address the issue now and correct
17 Verizon’s cost studies.

18 Third, UDLC systems are an inferior substitute for IDLC systems for
19 a number of reasons. For example, because of the multiple digital/analog
20 conversions that must take place to provision a loop via non-integrated
21 UDLC technology, customers served via this technology receive lower
22 data speed on a typical dial-up connection. Indeed, with a UDLC system,
23 it is difficult, if not impossible, to connect a dial-up modem at a speed

1 exceeding 21Kbs (whereas a typical dial-up modem on an IDLC system
 2 may very well attain the 56Kbs connection it is designed to
 3 accommodate). While at first glance this may appear to be a small issue,
 4 the Commission should note that the vast majority of new lines placed into
 5 service over the past 3 years are second (or third) lines used to
 6 accommodate dial-up Internet connections. Given an opportunity to
 7 purchase an access line from Verizon that provides 56Kbs dial-up service,
 8 versus an offering by a CLEC that can accommodate only a 21Kbs
 9 connection, all else being equal customers will choose the faster dial-up
 10 service. This will be an important competitive advantage for Verizon that
 11 will not be lost on customers. In essence, Verizon will not only benefit
 12 from the "competitive gap" associated with lower costs it faces to produce
 13 a loop for use by its retail customers, it will also benefit from a higher
 14 quality product.

15
 16

17 **Q. PLEASE EXPLAIN WHY IDLC SYSTEMS ARE MORE EFFICIENT AND**
 18 **LESS EXPENSIVE AND HOW THIS COULD/WILL ESTABLISH A**
 19 **COMPETITIVE GAP BETWEEN THE COSTS TO VERIZON AND THE**
 20 **CLECS THAT USE UNBUNDLED LOOPS.**

21 A. Integrated DLC systems allow a circuit, once digitized at the remote
 22 terminal, to remain in digital form until it is ultimately terminated in a
 23 central office switch. Likewise, integrated DLC allows a carrier to
 24 aggregate individual DS0 (voice grade) circuits into larger, more efficiently

1 transported bandwidths (DS1, DS3, etc.). In this manner, an IDLC system
 2 not only maintains the quality of a fully digital circuit (i.e., it removes the
 3 need to convert the signal from analog to digital form on multiple
 4 occasions – as is required by non-integrated DLC systems), it also
 5 reduces costs (because there is no need for digital/analog conversion
 6 equipment like the central office terminal and associated line equipment
 7 used by non-integrated systems). The Commission need look no further
 8 than Verizon's own cost studies – flawed as they are -- to understand the
 9 significant cost savings that can be realized with the use of IDLC
 10 equipment versus Universal Interface.

11 The significant cost difference between the UDLC and IDLC loop is
 12 the basis for the “competitive gap” I described earlier wherein competitors
 13 will always be at a cost disadvantage *vis a vis* Verizon if they use
 14 unbundled loops. As such, Verizon's proposed methodology undermines
 15 the pro-competitive intent of the Act of 1996 that envisions use of
 16 unbundled network elements as an important market entry alternative.
 17 Again, it does so by artificially inflating the economic costs incurred by
 18 CLECs relative to those incurred by Verizon.

19

20 **Q. CAN LOOPS PROVIDED ON AN IDLC SYSTEM BE UNBUNDLED**
 21 **WITHOUT A UNIVERSAL INTERFACE?**

22 A. Yes. First, whether Verizon currently deploys IDLC for unbundled loops is
 23 irrelevant. Indeed, if the Commission continues to allow Verizon to

1 assume the use of more expensive technology to be used by its
2 competitors while it can use cheaper technology for its own services, *it is*
3 *unlikely Verizon would ever deploy cheaper technology for its competitors'*
4 *use.*

5 The question that needs to be answered for purposes of a proper
6 TELRIC study is: *What is the least-cost, forward looking technology*
7 *available that can be used to provision the network element in question?*
8 Verizon's own studies show that IDLC is a least-cost alternative compared
9 to UDLC. Likewise, the FCC indicates that it is technically feasible to use
10 IDLC for unbundled loops. Hence, the obvious answer to the question
11 above appears to be that IDLC systems, for fiber based feeder, are the
12 proper technology to be assumed within an unbundled loops study
13 consistent with TELRIC principles.

14 Further, attached to my testimony as Exhibit AKA-8 are three
15 documents that discuss how unbundled loops can be provided with
16 GR303.

17
18 **Q. PLEASE BRIEFLY SUMMARIZE DSC CORPORATION'S**
19 **"UNBUNDLING SOLUTIONS" PAPER.**

20 A. A paper written by DSC Corporation (the company from which Verizon
21 purchases its digital loop carrier equipment) entitled "Unbundling
22 Solutions." The purpose of the paper is to tout the ability of the DSC
23 Litespan equipment (the DLC equipment Verizon assumes are used within

1 its TSLRIC studies) to accommodate unbundled loops in the integrated
 2 mode. This paper dispels any argument Verizon might make regarding
 3 the inability to provision unbundled loops using IDLC equipment. Indeed,
 4 Verizon's own chosen DLC equipment manufacturer has written a paper
 5 explaining in detail how the very equipment Verizon uses can
 6 accommodate unbundled loops in the integrated mode.

7
 8 **Q. PLEASE BRIEFLY SUMMARIZE THE SIGNIFICANCE OF MCI**
 9 **WORLDCOM'S "THE VIRTUAL RDT, KEY TO UNBUNDLING THE**
 10 **LOCAL EXCHANGE" ABSTRACT.**

11 A. MCIWorldCom wrote a well-researched and detailed abstract entitled "The
 12 Virtual RDT, Key to Unbundling the Local Exchange." This particular
 13 abstract not only steps the reader through a number of different ways in
 14 which an RDT (remote digital terminal) can be unbundled for access by
 15 competitive carriers, it also speaks to the urgency required for such an
 16 architecture.

17 **Q. PLEASE BRIEFLY SUMMARIZE THE SIGNIFICANCE OF PULSECOM,**
 18 **INC.'S "UNBUNDLING WIRE PAIRS, SPECIAL SERVICES AND ISDN**
 19 **IDLC GROOMING" PAPER.**

20 A. A paper from PulseCom, Inc. entitled "Unbundling Wire Pairs, Special
 21 Services and ISDN DLC Grooming." Like DSC, PulseCom manufactures
 22 digital loop carrier equipment. This paper not only details the manner by
 23 which an IDLC system can be used to provision unbundled loops, but also
 24 details the other uses for this type of "grooming." It highlights the fact that

1 IDLC systems have, in the past, proven to be less flexible than non-
 2 integrated systems in terms of providing "special circuits" used by
 3 incumbent LECs to serve their own retail non-switched customers (i.e.,
 4 private line applications and other non-switched services). Hence, as
 5 would be expected, integrated DLC equipment manufacturers have
 6 remodeled their IDLC equipment to better accommodate these services.
 7 One result of these remodeled systems (Next Generation Digital Loop
 8 Carrier – NGDLC – equipment) is that they can now support both retail
 9 and wholesale non-switched loop applications (i.e., unbundled loops).

10
 11 These articles, individually and together, surely dispel any notion
 12 that IDLC systems cannot be unbundled and/or, that this equipment is not
 13 widely available and in use.

14
 15 **Q. WHAT IS YOUR RECOMMENDATION?**

16 A. The Commission should order Verizon to use forward-looking, least cost
 17 IDLC systems (with a GR303 interface) and should prohibit the use of
 18 UDLC in its unbundled loop studies.

19
 20
 21 **2. Verizon's Studies Fail To Address An Appropriate Concentration**
 22 **Ratio**
 23

24

1 Q. PLEASE EXPLAIN WHAT A CONCENTRATION RATIO IS AND WHY IT
2 IS A COST DRIVER IN VERIZON'S LOOP COST "MODEL."

3 A. In an all copper network, for each end-user there is a dedicated path from
4 the customer premises to the central office. The great advantage of using
5 a fiber based DLC system is that it allows traffic to be concentrated onto
6 more efficient facilities. That is, because not all end-users pick-up the
7 phone (or use their modem) at the same time, the feeder facilities do not
8 need to have a *dedicated* path for each end-user. Instead, the DLC
9 system assigns a path – a time slot – only to those customers who are
10 using their line. Thus, all that is needed is a fair estimate of what
11 percentage of the end-users use their line simultaneously in order to
12 establish an efficient concentration that avoids blockage. This
13 concentration ratio is critical in the loop cost studies.

14 To see how the concentration ratio affects cost studies, consider
15 the following example in which an increasingly higher concentration ratio
16 lowers the fiber based DLC costs per DS0 (voice grade analog two wire
17 loop).

18
19 **Example**

DLC Costs	Concentration Ratio	Number of End Users (DS0 Channels)	Cost per DS0
\$1,000	1 to 1	1000	\$ 1.00
\$1,000	3 to 1	3000	\$ 0.33
\$1,000	6 to 1	6000	\$ 0.17

20

1 Given that in Verizon's loop cost studies, a large portion of the costs is
2 associated with the fiber based DLC system, the concentration ratio is one
3 of the most important cost drivers in the loop studies. .

4

5 **Q, WHAT IS THE RANGE OF CONCENTRATION THAT IS ACHIEVABLE**
6 **ON A GR303 DLC BASED SYSTEM?**

7 **A.** The GR303 DLC based system has a range of achievable concentration
8 levels from 1:1 to 44:1, based on calling patterns. (See Newton's Telecom
9 Dictionary, Copyright 2000 Harry Newton, Published by Telecom Books,
10 an imprint of CMP Media Inc., New York NY 10010, page 382)

11

12 **Q. DOES VERIZON FAIL TO ACCOUNT FOR A SUFFICIENT DEGREE OF**
13 **CONCENTRATION IN ITS LOOP COST STUDIES?**

14 **A.** Yes. Again, given the "black-box" nature of the ICM, I am simply unable to
15 ascertain what level of concentration is assumed in the model. For
16 certain, the level of concentration is not a user defined input into the
17 model, but is hard-coded into the algorithm. In other jurisdictions, Verizon
18 has typically used a concentration ratio of 3:1, which is based on their
19 experience with business customers and which is too low.

20 In any event, as I will demonstrate, Verizon should be ordered to
21 use a higher concentration ratio of 6:1.

22

1 Q. WHAT SHOULD DETERMINE THE LEVEL OF CONCENTRATION
2 THAT IS ACCEPTABLE IN A PARTICULAR SITUATION?

3 A. As discussed, with GR303, variable line concentration outside of the
4 switch is possible due to a time slot interchanger (TSI) functionality
5 established between the switch and an RDT. The TSI in conjunction with
6 the time slot management channel (TMC) provides administration and
7 dynamic channel assignment. The degree of concentration that is
8 desirable, however, depends on the calling patterns of the community
9 served by the DLC system and the CCS levels associated with that
10 community.

11

12 Q. WHAT LEVEL OF CONCENTRATION DID VERIZON-NY ADVOCATE IN
13 ITS RECENT TESTIMONY IN NEW YORK?

14 A. The Panel Testimony submitted by Verizon-NY stated that the
15 concentration ratio should be between 2:1 and 4:1,

16 Concentration has always taken place within the digital switch but
17 GR303 Interface Groups allow the efficiency of concentration to be
18 extended to the digital ports on the switch and the COT. The ratio
19 of channel units to switch ports is set between **2:1 and 4:1**,
20 depending on traffic characteristics of the lines. (Case 98-C-1357,
21 VZ-NY Panel Testimony, page137 (emphasis added))

22

23

1 Q. WHAT LEVEL OF CONCENTRATION DID THE ADMINISTRATIVE LAW
2 JUDGE ORDER IN VERIZON-NY'S CURRENT TELRIC PROCEEDING
3 IN NEW YORK?

4 A. In New York, having reviewed the evidence, the Administrative Law Judge
5 found that Verizon-NY should use a 4:1 ratio, the high end of the range
6 that Verizon-NY itself had identified. (NYPSC Case 98-C-1357,
7 Recommended Decision, page 90)

8
9 Q. WHAT ADDITIONAL REASONS ARE THERE TO ASSUME A
10 CONCENTRATION RATIO OF 6:1?

11 A. As Verizon indicates in responses to data requests, it does not yet have a
12 high percentage of its loops on fiber. Surely, most of its residential
13 customers are still served on copper facilities. But, if Verizon were to
14 serve those residential customers with fiber based IDLC – *as it should,*
15 *given the fiber/copper break-over point assumed in Verizon's own studies*
16 *-- then the residential calling pattern would allow for a different*
17 *concentration ratio than used for business customers.*

18 The effect of the cost study assumptions is that – in contrast to the
19 Verizon's real network – a *mix of customers*, consisting of both *business*
20 *and residential* customers, will be served by fiber based DLC systems.
21 Given that the concentration ratio for business customers, a mix of
22 residential and business customers will allow a higher concentration ratio.
23 This observation is even more true, if one considers that business

1 customers call mostly during the day (i.e., *the business peak is during the*
2 *day*) while residential customers call mostly at night (i.e., *the residential*
3 *peak is in the early evening*). Thus, since business and residential
4 customers are likely to have *two distinct peaks*, their calling patterns are
5 complimentary and do not crowd out one another: as a result, a higher
6 concentration ratio is possible.

7 In short, one of the consequences of Verizon's decision to assume
8 larger quantities of fiber deployment for cost study purposes than actually
9 deployed in its real network is that a higher concentration ratio can be
10 achieved. Given that under TELRIC, one must assume a least-cost,
11 forward-looking network, a concentration ratio of 6:1 is appropriate.

12

13 **Q. WHAT LEVEL OF CONCENTRATION DO YOU RECOMMEND?**

14 A. I recommend that Verizon be ordered to use a 6:1 concentration ratio.
15 This ratio is reasonable because in its cost studies Verizon will now serve
16 both business and residential customers on the fiber based DLC systems.
17 Given that residential customers have an evening peak, their calling
18 patterns do not interfere/crowd out those of the business customers.

19

20 **C. VERIZON'S ASSUMED DROP LENGTHS ARE TOO LONG**

21

22 **Q. PLEASE DISCUSS HOW ICM DETERMINES DROP LENGTHS IN THE**
23 **LOOP COST STUDIES.**

1 A. The drop lengths are calculated in the model per demand unit (distribution
2 area) based on an algorithm that assumes that drop wires and entrance
3 cables (for larger units) terminate at the center of each lot on which a
4 residential or business resides. As a result of this algorithm, drop lengths
5 and entrance cables can vary from 15 to nearly 500 feet.

6

7 **Q. WHAT DROP LENGTHS DO YOU RECOMMEND?**

8 A. I have not been able to calculate the average length of the drop and
9 entrance cable facilities assumed in ICM. ICM does have, however, the
10 ability to specify the lengths of the drop and the entrance facilities as user
11 inputs. Given the highly hypothetical nature of the loop architecture in
12 ICM and the uncertainty about how the fill factors for the drop and
13 entrance facilities are deployed in ICM, I recommend that the Commission
14 order user defined inputs for the length of the drop and the entrance
15 cables. Further, I recommend that the length and the drop facilities are
16 de-averaged by zone to reflect that the greater density and generally
17 shorter lengths in urban areas. My specific recommendations are 75 feet
18 for Zone 1; 100 feet for Zone 2; and 150 feet for Zone 3.

19 Again, these recommendations reflect that drops tend to be shorter
20 in densely populated urban areas, where one might find more apartment
21 complexes and town houses, than in suburban and rural areas.

22

1 **D. THE NETWORK ARCHITECTURE IS NOT FORWARD-LOOKING, LEAST**
2 **COST**
3

4 **Q. HAS VERIZON GENERALLY MODELED A FORWARD-LOOKING,**
5 **LEAST-COST NETWORK?**

6 A. No. There are a number of methodological errors and logical
7 inconsistencies hard-coded in the ICM model that cause loop costs to be
8 artificially high. Perhaps most important are (1) the failure of ICM to
9 construct a network to where the demand is actually located; (2) the failure
10 of the ICM to fully capitalize on the efficiencies of fiber for loops that use
11 DLC systems; and (3) to recognize the efficiency of placing the RT on the
12 customer premises for larger buildings.

13
14 **1. ICM Fails to Construct a Network Where it is Demanded.**

15 **Q. DOES THE ICM CONSTRUCT IS MODEL NETWORK TO REACH**
16 **ACTUAL DEMAND?**

17 A. No. The ICM does not know the actual location of any demand and
18 "constructs" its network to locations where customers do not exist. The
19 ICM assumes that demand will be dispersed across an arbitrary grid
20 structure and then "constructs" its network to provide service to these
21 surrogate locations. This is a fundamental flaw in the ICM. Back in 1997,
22 AT&T/WorldCom's HAI model contained a similar flaw. However, this flaw
23 was corrected a number of years ago by AT&T/WorldCom's HAI model by
24 geocoding customer locations and building the model network to the

1 actual customer locations. In addition, BellSouth's loop model, the
2 BSTLM, geocodes customer locations in a manner similar to the HAI
3 model. Given that this cost modeling flaw can and has been eliminated,
4 the Commission would be delinquent if it were to adopt an inferior cost
5 model such as Verizon's ICM to develop UNE rates.

6
7 **2. ICM Fails To Capture The Efficiencies Of Fiber Facilities**
8

9 **Q. DOES THE ICM ADEQUATELY REFLECT THAT FIBER FACILITIES**
10 **ARE RELATIVELY CHEAP AND THAT THE RT SHOULD BE**
11 **DEPLOYED AS CLOSE TO THE CUSTOMER AS POSSIBLE?**

12 **A.** No. In other jurisdictions Verizon recognizes that fiber is relatively cheap
13 as compared to copper. This means that once the decision is made to
14 deploy a fiber based DLC system – as is the case for longer loops – it is
15 important to capitalize on the efficiencies of the fiber and to drive the fiber
16 as deeply into the distribution area as possible so as to minimize the use
17 of expensive copper facilities (feeder and distribution.)

18 This notion is well captured by Verizon recent testimony in
19 Massachusetts: "the economics of fiber versus copper always favor
20 extending *the RT as close to the customer as possible* as long as two
21 conditions can be met: that a site for the RT can be obtained at
22 reasonable cost and that the fill of the system exceeds a threshold level."
23 (Emphasis added.) (Verizon-MA, D.T.E. Docket 01-20. Surrebuttal Panel
24 Testimony, page 59.)

1
2 By contrast, this consideration is entirely absent in Verizon's ICM model
3 here in Florida. The ICM model assumes that there is always a portion of
4 the feeder that is copper based even if the loop uses a fiber based DLC
5 system. Further, the ICM model assumes that in many instances there is
6 even a secondary SAI (serving Area Interface) in addition to the first SAI,
7 thus further increasing the use of copper facilities rather than diminishing
8 it. In any event, there is no attempt in the model to place the FDI (with the
9 RT) close to the customer and to extend the cheaper fiber facilities so as
10 to conserve on expensive copper facilities.

11
12 **3. The ICM Model Fails To Consider Placing The RT On The Customer**
13 **Premises**
14

15 **Q. DOES THE ICM MODEL EVER RECOGNIZE THAT IT IS CHEAPER TO**
16 **PLACE RT'S ON THE CUSTOMER PREMISES FOR LARGER**
17 **CUSTOMERS?**

18 **A.** No. In other jurisdictions Verizon recognizes that where it concerns larger
19 buildings, it may be more efficient to locate a RT on the customer
20 premises. This eliminates the need for expensive copper feeder and
21 distribution facilities altogether. Further, the RT is cheaply housed on the
22 customer premises and can still be used to serve customer is adjacent
23 buildings. In Massachusetts, for example, Verizon assumed that for
24 building with more than 160 customers, a RT would be located on the
25 premises. As noted by Verizon-MA: "Locating RT's within a building

1 involves minimum site cost and the line size threshold used in the study
 2 insures that reasonable fill is achieved." (See Verizon-MA, D.T.E. Docket
 3 01-20, Surrebuttal Testimony, page 59.) (In Massachusetts, Verizon has
 4 erred in its deployment of the RT by dedicating the RT to only the
 5 particular building in question. Be that as it may, the initial consideration
 6 to place the RT on the customer premises is a valid one.) Likewise, in
 7 New York, Verizon assumed that in certain instances the RT would be
 8 placed on the customer premises for larger buildings.

9

10 **VI. DS-1 UNBUNDLED LOOPS**

11

12 **Q. HAVE YOU HAD AN OPPORTUNITY TO REVIEW VERIZON'S**
 13 **PROPOSED RATES FOR DS-1 UNBUNDLED LOOPS?**

14 A. Yes, I have. Verizon proposes a statewide average DS-1 unbundled loop
 15 rate of \$240.52 with corresponding deaveraged prices as follows: Zone 1:
 16 \$235.24, Zone 2: \$252.20, Zone 3: \$309.27.

17

18 **Q. DO YOU HAVE CONCERNS WITH THESE PROPOSED RATES?**

19 A. Yes, I do. These rates far exceed rates for DS1 unbundled loops recently
 20 approved by this Commission for BellSouth and far exceed similar rates
 21 adopted by other Commissions throughout the country. The table in
 22 Exhibit AHA-9 provides a limited comparison supporting this point.

1 As the table above demonstrates, Verizon's proposed DS-1 unbundled
2 loop rates in this proceeding exceed other comparable rates by nearly
3 400% in some circumstances.

4

5 **Q. HAVE YOU BEEN ABLE TO IDENTIFY WITHIN VERIZON'S COST**
6 **MODELS WHY SUCH A DISCREPANCY MIGHT EXIST?**

7 A. Yes, to some extent. Verizon's DS1 unbundled loop study is very
8 problematic because it allows only for limited auditing. (For example, the
9 file "FLHiCapWtg", sheet "WC DATA" wherein the actual cost results per
10 wire center for DS1 unbundled loops are "hardcoded" such that the
11 analyst is unable to determine their origin or discern the manner by which
12 they are calculated.) However, I have been able to identify a number of
13 problems that tend to substantially overestimate Verizon's actual forward
14 looking costs as proposed. First, Verizon assumes a very low fill factor for
15 its most prevalent DS1 delivery architecture causing the resultant costs to
16 soar far beyond those attributable to other substitutable architectures.

17

18 **Q. PLEASE EXPLAIN THIS POINT IN MORE DETAIL.**

19 A. Cost study file "FLHiCapWtg" sheet "Reports" identifies the four potential
20 DS1 delivery architectures for which Verizon derives forward looking costs
21 (see rows 12 through 18). Verizon ultimately weights each of these four
22 delivery architectures in arriving a single, weighted average cost for DS1
23 delivery in each wire center. It is this weighted average DS1 cost

1 (\$** **) that Verizon ultimately proposes as the TELRIC basis for its
2 DS1 unbundled loop rates. (See file "FLHiCapWtg," shee "WC DATA").
3

4 **Q. PLEASE IDENTIFY THE FOUR DELIVERY METHODS INCLUDED IN**
5 **THE VERIZON ANALYSIS.**

6 A. Verizon's cost study identifies the following DS1 delivering methods and
7 applies the following relative weights for purposes of identifying the most
8 and least common delivery method used:

9 CONFIDENTIAL DATA

10	a. DS1 via metallic facility	***	---	**
11	b. OC3 e/w 28 DS1s	***		**
12	c. OC3 e/w 84 DS1s	***		**
13	d. OC-12 e/w 12 DS3 & 336 DS1 Mux	***		**
14			<hr/>	
15			100%	
16				

17 **Q. WHY ARE FOUR DELIVERY METHODS STUDIED?**

18 A. DS1 transmission facilities can be accommodated in the
19 telecommunications network via a number of delivery methods. For
20 example, a 4-wire metallic loop facility with applicable electronics can
21 support a single DS1 transmission signal while fiber-optic based "Optical
22 Carrier" ("OC-N") systems can be used to accommodate a large number
23 of DS1 transmissions. In some circumstances an ALEC may order a DS1
24 facility in an area where Verizon has an active OC-3 or OC-12 system
25 thereby allowing Verizon to simply assign a small portion of the much
26 larger OC-N system for purposes of accommodating the DS1 request. In
27 general terms, the larger the system being used to deliver the DS1 signal

1 (all else being equal), the lower the per DS1 cost (because of substantial
2 production-economies of scale). In support to of this point, Verizon's cost
3 study indicates that costs per DS1 signal fall precipitously as DS1s are
4 provisioned on larger and larger facilities (e.g., information taken from
5 Verizon's DS1 cost study shows that costs per DS1 delivered fall
6 by nearly 75% when comparing the single DS1 loop provisioned over
7 metallic facilities with those DS1s delivered via an OC-12 system).

8
9 **Q. PLEASE FURTHER EXPLAIN YOUR CONCERN REGARDING**
10 **VERIZON'S FILL FACTORS AND THEIR ROLE IN THE ENORMOUS**
11 **DS1 COSTS PROPOSED BY VERIZON.**

12 A. Attached as Exhibit AHA-10 is a table extracted directly from Verizon's
13 DS1 study. Notice the fact that as the delivery method involves equipment
14 capable of producing a greater number of DS1 transmissions, the price
15 per DS1 transmission (column B) falls dramatically. Notice also, that the
16 most expensive DS1 delivering method is the "DS1 via Metallic Facility"
17 method at \$** ** per DS1 per month.

18 Column (E) indicates the likelihood that any of the individual
19 delivery methods will be used and weights the corresponding cost figures
20 in an effort to arrive at a weighted average cost for DS1 delivery. Notice,
21 however, Column (C). Column (C) applies the individual fill factors used
22 to derive what Verizon entitles "Fill Cost per DS1" (Column D). Notice
23 further that even though the "OC3 e/w 28 DS1s" is a less expensive

1 delivery method than the simple metallic facility method in Column (B),
2 when the abysmally low fill factor associated with the OC3 method is
3 applied (** **%), the picture dramatically changes. Indeed, the OC3
4 method becomes the second most expensive method available.

5

6 **Q. IS THIS PROBLEMATIC?**

7 A. Absolutely. Consider the result above given the following discussion. The
8 most expensive method by which to provision a DS1 facility is via the use
9 of a dedicated 4-wire metallic facility. Verizon's cost study makes this very
10 point (see Column B above). Hence, if we assumed that 100% of the
11 DS1s ordered by ALECs in Verizon's territory were provisioned via 4-wire
12 metallic facilities, we could derive a "Maximum TELRIC Cost" upon which
13 we could only improve with the use of more efficient equipment (e.g., OC-
14 N). Using Verizon's study, I assumed that 100% of the DS1s provisioned
15 would be provided via 4-wire metallic facilities (in doing so I zeroed out the
16 other delivery methods). The resultant "Circuit Equipment Cost" was
17 ** ** compared to the ** ** arrived at by the Verizon model.
18 Said another way, using only the most expensive delivery method
19 available, I arrived at costs more than one-half those that Verizon
20 estimates.

21

22 **Q. HOW IS THIS POSSIBLE?**

1 A. This result follows from a fundamental conceptual error in the Verizon
2 model. That is, Verizon assumes within its model that it will deliver DS1
3 transmission via OC-N facilities, even when it would be cheaper (given the
4 results of this own analysis), to provide the DS1s via 4-wire metallic
5 facilities. Verizon's analysis in this respect certainly does not match with
6 the "least cost" requirements of a rationale TELRIC methodology and
7 tends only to overestimate Verizon's actual costs of provisioning DS1
8 facilities.

9

10 **Q. HOW SHOULD THE COMMISSION CORRECT VERIZON'S ERROR?**

11 A. Verizon's error can be found in abysmally low fill factor assumptions made
12 with respect to the utilization of its OC-N equipment. Fill factors ranging
13 from ** **% to ** **% (as proposed by Verizon) are not consistent
14 with the TELRIC methodology wherein facilities are assumed to be used
15 efficiently. As discussed above, at these levels of utilization, Verizon
16 would actually be incurring higher costs associated with more efficient
17 equipment. In other words, if Verizon's utilization levels were accurate,
18 Verizon (and its ALEC customers) would be better off never having
19 installed those facilities for the provision of DS1 services. The
20 Commission should correct this error by requiring Verizon to utilize
21 realistic fill factor assumptions for its OC-N equipment (I would
22 recommend a fill factor of approximately 90% which is consistent with
23 other Field Reporting Code 357 - central office transmission equipment).

1 In the alternative, the Commission should require Verizon to recalculate its
2 DS1 costs using only the least expensive delivery method as identified by
3 its own cost study (i.e., the 4-wire metallic method).

4

5 **Q. WOULD REQUIRING VERIZON TO ASSUME ONLY THE USE OF 4-**
6 **WIRE METALLIC DS1 DELIVERING RESULT IN TELRIC BASED**
7 **RATES?**

8 A. Though it would be an improvement over the cost study Verizon has
9 proposed and which I have critiqued above, it would not result in
10 reasonable TELRIC-based rates. As I described above, such an
11 assumption would result in a type of maximum TELRIC-based rate.
12 Obviously there will be circumstances wherein economies of scale will
13 allow the delivery of DS1 transmission on OC-N facilities at costs less than
14 those experienced in dedicating a 4-wire metallic facility to the job.
15 Hence, proper TELRIC-based rates would be lower than rates established
16 assuming 100% metallic delivery. It is for this reason that I would
17 recommend that the Commission correct the error in the Verizon model in
18 a more appropriate fashion and require Verizon to re-run its DS1 study
19 assuming that all fiber-based "circuit equipment" achieve at least a 90%
20 fill.

21

22 **VII. ENHANCED EXTENDED LINK (EEL) RATES ARE**
23 **INAPPROPRIATELY HIGH**

24

25

1 Q. HAVE YOU HAD AN OPPORTUNITY TO REVIEW MR. TRIMBLE'S
2 TESTIMONY REGARDING THE COMBINATION OF UNBUNDLED
3 LOOPS AND INTEROFFICE TRANSPORT COMMONLY REFERRED
4 TO AS AN ENHANCED EXTENDED LINK ("EEL")?

5 A. Yes, I have. The majority of Mr. Trimble's direct testimony (pp. 54-58)
6 addresses what Verizon believes to be its legal obligation to provide this
7 particular combination as well as the circumstances wherein Verizon
8 believes it is required to migrate existing special access arrangements to
9 an EEL. I'll not respond to Mr. Trimble's arguments in this respect as they
10 are largely legal in nature and can be addressed by the attorneys in brief.
11 I will, however, address two issues that arise from Mr. Trimble's testimony
12 regarding this issue.

13 First, I'll address Mr. Trimble's proposal that "the rate for each EEL
14 UNE combination be the sum of the individual loop, transport and
15 multiplexing rates for each of the individual UNEs that make up the
16 combination." I'll explain that this approach will almost undoubtedly lead
17 to over recovery. Second, I'll address the specific multiplexing rates
18 proposed by Mr. Trimble in Exhibit DBT-2 to be used in combining loops
19 and transport in an EEL arrangement. I'll explain for the Commission why
20 Verizon's proposed multiplexing rates (monthly recurring) appear to be in
21 excess of reasonable forward looking costs.

22

1 Q. PLEASE EXPLAIN YOUR CONTENTION ABOVE THAT VERIZON WILL
 2 MOST LIKELY BE ALLOWED TO OVER RECOVER ITS ACTUAL
 3 COSTS IF THE COMMISSION ALLOWS VERIZON TO ASSESS THE
 4 INDIVIDUAL LOOP, TRANSPORT AND MULTIPLEXING RATES
 5 ESTABLISHED IN THIS PROCEEDING WHENEVER AN ALEC
 6 PURCHASES AN EEL.

7 A. When an ALEC purchases an EEL it is actually purchasing a transmission
 8 path that will in most circumstances reach from a customer's premises,
 9 through Central Office A and ultimately to Central Office B. When
 10 compared to an ALEC purchasing an unbundled loop, multiplexing (or
 11 cross-connection), and interoffice transport separately, the facilities
 12 provisioned (and indeed the manner by which they are provisioned) will
 13 likely vary substantially with costs varying accordingly. An example best
 14 illustrates the potential differences.

15 Consider an unbundled loop that currently serves a customer using
 16 a digital loop carrier architecture. If an ALEC were to order that unbundled
 17 loop on a stand-alone basis, Verizon would terminate that unbundled loop
 18 via a 2-wire analog jumper directed to the ALEC's collocation space. In
 19 doing so, Verizon would include in the cost of that unbundled loop the
 20 central office terminal ("COT") costs of the digital loop carrier system
 21 required to multiplex the signal associated with that individual loop (likely
 22 from a DS1 transmission embedded in an OC3 bitstream) into a DS0
 23 equivalent (the COT would also do the digital to analog conversion

1 necessary to arrive at an analog 2-wire interface). These COT costs are a
2 substantial component of Verizon's 2-wire unbundled loop rate.

3 Consider now that the same ALEC purchases the same loop but
4 instead of terminating that loop in its collocation space, the ALEC chooses
5 to combine that loop with interoffice transport for purposes of gathering
6 that loop at a distant central office (i.e., an EEL arrangement). In such a
7 circumstance, there would be no need for Verizon to de-multiplex that
8 original signal from its original DS1 or OC3 format (or to execute a digital
9 to analog conversion) because that signal will simply be loaded onto a
10 central office facility (of at least that bandwidth) for delivery to the distant
11 central office). Because the signal need not be converted at this point to
12 an analog, 2-wire electrical signal for delivery to the collocation space,
13 costs can be saved. Indeed, if Verizon were to demultiplex and convert
14 the DS0 signal representing the ALECs unbundled loop used in the EEL
15 arrangement, it would simply be required to re-multiplex and convert the
16 signal again before it could ready the signal for interoffice transmission.
17 This would be duplicative and inefficient. Unfortunately, however, if the
18 Commission adopts Verizon's simple "sum of the UNEs involved"
19 approach, it will be sanctioning such inefficient cost recovery (whether
20 Verizon actually undertakes this action or not).

21

1 **Q. IN YOUR EXAMPLE ABOVE, WOULDN'T THE SAME**
2 **DEMULTIPLEXING AND/OR DIGITAL TO ANALOG CONVERSION BE**
3 **REQUIRED AT THE TERMINATING CENTRAL OFFICE ANYWAY?**

4 A. Not likely. Many ALECs will aggregate individual DS0 unbundled loops at
5 a Verizon central office, multiplex those DS0s onto a higher bandwidth
6 trunk (likely DS1) and transport those DSOs across the interoffice network
7 in bulk. In doing so, they will, at the terminating central office, receive
8 those DS0 signals representing individual unbundled loops, at a DS1 or
9 higher level. In this circumstance, no de-multiplexing or digital to analog
10 conversion is necessary (indeed, the cost savings associated with
11 avoiding these activities is one of the greatest benefits of the EEL
12 arrangement). Unfortunately, Verizon's proposal to simply add the
13 individual UNE rates together to arrive at EEL rates negates any of these
14 benefits by allowing Verizon to recover costs that it never incurs
15 (multiplexing and conversion) instead of passing savings associated with
16 avoiding these costs onto the ALEC in lower rates.

17

18 **Q. HOW CAN THE COMMISSION ENSURE VERIZON RECOVERS ONLY**
19 **THE COSTS IT INCURS IN PROVIDING EELS?**

20 A Verizon should be required to undertake an individual TELRIC study for at
21 least the most common EEL arrangements (i.e., DS0 loop-DS1 interoffice
22 transport, DS1 loop-DS1 transport and DS1 loop-DS3 transport).
23 Likewise, Verizon should be required to establish rates for EELs

1 recognizing any cost reductions associated with purchasing the respective
2 elements in combination. Special attention should be paid to recognizing
3 the cost savings resulting from an integrated combination of transmission
4 facilities for purposes of avoiding unnecessary multiplexing and
5 conversion.

6
7 **Q. DOES BELL SOUTH FLORIDA IDENTIFY RATES SPECIFIC TO THE**
8 **MOST COMMON EEL ARRANGEMENTS?**

9 A. Yes, BellSouth provides rates specific to the most common EELs as stand
10 alone rate elements. Verizon should be required to do the same after
11 having filed (and approved) a cost study recognizing the cost savings
12 associated with combining the individual UNEs comprising an EEL.

13
14 **Q. EARLIER YOU ALLUDED TO CONCERNS REGARDING THE**
15 **MULTIPLEXING RATES PROPOSED BY VERIZON FOR USE WITH**
16 **EEL ARRANGEMENTS. PLEASE ELABORATE.**

17 A. Comparing Verizon's proposed multiplexing rates with those approved for
18 other carriers across the country again raises concern. For example,
19 Verizon proposes a monthly recurring rate of \$517.71 per month for DS3
20 to DS1 multiplexing. By comparison, BellSouth is allowed to charge
21 \$211.19 for this same function. (See Order No. PSC-01-2051-FOF-TP,
22 Docket No. 990649-TP, page 51). Likewise, Verizon in New Jersey is
23 allowed to charge \$364.60. (See NJ Board of Public Utilities, Docket No.

1 TO00060356, Attachment , page 3 of 5) Ameritech Michigan charges
2 \$262.31. (See Ameritech tariff M.P.S.C. No. 20R, Part 19, Section 12, 2nd
3 Revised Sheet No. 27) Again, Verizon's proposed rate exceeds the
4 average of these comparable rates offered by other carriers by
5 approximately 185%.

6

7 **Q. WHAT IS THE CAUSE OF VERIZON EXAGGERATED RATES?**

8 A. Unlike DS1 loops, Verizon calculates multiplexing costs via its ICM model.
9 As a result, I am unable to view the actual calculation that translates
10 Verizon's material costs into what Verizon terms as TELRIC. I can only
11 review the computer code that is used to compute the Verizon numbers
12 and these provide little additional information. As a result, I cannot
13 pinpoint where in Verizon's calculation it errs to the degree of allowing its
14 rates to more than double those of most other carriers for this specific rate
15 element. My expectation, however, is that an abysmally low fill factor (like
16 that evidenced in Verizon's DS1 study) is to blame. As a result, I would
17 recommend that the Commission extend its finding that a 90% fill factor for
18 all 357c equipment (central office non-switch equipment) is a reasonable
19 assumption that must be instituted by Verizon throughout its studies
20 including its multiplexing analysis. It is my expectation that such a
21 decision would go along way toward correcting the exaggerated result
22 evidenced by Verizon's overstated multiplexing charges.

23

VIII. SWITCHING COST STUDIES

24

1 **Q. HAVE YOU REVIEWED VERIZON'S SWITCHING COST STUDIES?**

2 A. Yes. For switching inputs, ICM relies on information generated from two
3 external models. One model, the "Switch Cost Information System"
4 ("SCIS"), is produced by Bellcore. SCIS calculates basic switching and
5 vertical switching service costs for Nortel and Lucent switches. A second
6 model, GTE's "COSTMOD," calculates basic switching and vertical
7 switching service costs for the GTD-5 switch. The outputs from these
8 switching models are input into the ICM.

9 **Q. HAVE YOU FOUND ANY PROBLEMS WITH VERIZON'S SWITCHING**
10 **COST STUDIES?**

11 A. Yes. There are a number of problems with Verizon's switching cost
12 studies:

- 13 • Verizon includes in its technology mix an expensive and outdated
14 switch, the GTD-5, produced by GTE. To the best of my knowledge,
15 the GTD-5 is not used by Verizon elsewhere (other than in former GTE
16 companies), nor is the switch used by any other large ILECs. It should
17 not be included in the forward-looking, least cost switch technology
18 mix.
- 19 • Verizon has not made available the switch vendor prices – and
20 discounts – that are the most important inputs into the SCIS model and
21 into switching studies in general.
22

23

- 1 • Feature costs are artificially inflated and ignore that the switch
2 resources to run the features are already part of the switch and should
3 properly be included in the monthly port charges.
- 4
- 5 • The nonrecurring costs for the features are not based on efficient
6 operations. If features are made available as part of the unbundled
7 port, then no costs of individually ordering features would ever come
8 about. That is, the nonrecurring charges for features – which are
9 exorbitantly high – are entirely the result of the rate structure and
10 service ordering processes imposed by Verizon itself.
- 11

12 **A. THE GTD-5 IS NOT A FORWARD-LOOKING, LEAST-COST TECHNOLOGY**

13

14 **Q. PLEASE DISCUSS THE SWITCH MIX PROPOSED BY VERIZON.**

15 A. Verizon proposes to use a mix of switches that include switches from the
16 world's larger switch vendors, Lucent and Nortel, but also switches
17 produced by the former production arm of GTE. Specifically, the cost
18 studies are based on a significant number of GTD-5 switches.

19

20 **Q. SHOULD THE GTD-5 SWITCH BE INCLUDED IN THE FORWARD-
21 LOOKING, LEAST COST TECHNOLOGY MIX?**

22 A. No. To the best of my knowledge, the GTD-5 is not used by Verizon
23 elsewhere (other than in former GTE companies), nor is the switch used
24 by any other large ILECs. It should not be included in the forward-looking,
25 least cost switch technology mix.

1

2 This contention is supported, for example, by the Texas Public Utility
3 Commission. In PUC Docket No. 14943 (released on July 29, 1996), the
4 TPUC made the following findings of fact, numbered 46-49:

5

6

- The manufacturer of the GTD-5 switch is concentrated on providing support functions to maintaining the switches in operation.

7

8

9

10

- Except for ordering a remote switch to connect to an existing GTE-5 host, GTE would not buy a GTD-5 switch today, but would buy either a Lucent 5ESS or a Nortel DMS series switch.

11

12

13

14

15

- The GTD-5 switch is not included in GTE's five year investment planning horizon.

16

17

18

19

- The GTD-5 switch cannot support ISDN service.

20

21

22

The Commission should recognize that the TPUC made this finding about six years ago – if the GTD-5 was not forward-looking then, it is hard to imagine that it is forward-looking now.

23

24

Q. WHAT DO YOU RECOMMEND?

1 A. I recommend that the Commission order Verizon to remove – for cost
2 study purposes –the GTD-5 from the technology mix.

3

4 **B. SWITCHING STUDIES SHOULD USE AN APPROPRIATE WEIGHTING OF**
5 **NEW AND GROWTH DISCOUNTS**

6

7 **Q. HAS VERIZON APPROPRIATELY ACCOUNTED FOR ITS SWITCH**
8 **VENDOR CONTRACTS?**

9 A. No. Typically, switch vendor contracts have a bifurcated price/discount
10 structure. Different prices apply for facilities when the switch is initially placed
11 and put into service than for facilities that are placed to accommodate growth.
12 To determine Verizon’s switch investments, it is of utmost importance,
13 therefore, to appropriately reflect what portion of Verizon’s facilities have been
14 placed at switch installation and what facilities have subsequently been placed
15 to accommodate growth.

16

17 Verizon has based its switching studies on the discounts it will receive for
18 growth lines. (See Tucek, page 6, lines 8 – 11.) As such, Verizon appears to
19 ignore large numbers of facilities that would receive the large discounts if and
20 when switches are newly installed. In other words, Verizon skewed its
21 analysis heavily toward the expensive facilities that are placed to
22 accommodate growth. As a result, Verizon’s switch investments are greatly
23 overstated.

24

1 Q. PLEASE DISCUSS THE BIFURCATED PRICE/DISCOUNT STRUCTURE
2 IN THE SWITCH VENDOR CONTRACTS IN MORE DETAIL.

3 A. Generally, while various components of a switch can be purchased on a
4 standalone basis, switch vendors tend to charge carriers switching costs on a
5 per line or per trunk basis. The prices and discounts vary, however, based on
6 whether a line was turned up when the switch was installed or subsequently
7 turned up to accommodate customer growth. For example, if a new switch is
8 placed and the switch serves 50,000 lines at cutover (i.e., at the time the
9 switch is installed and put into service), the switch vendor will charge Verizon
10 50,000 *times* a per line price for the switch. The lines that are served by the
11 switch upon switch installation (i.e., when the switch is put into service) are
12 called the *cutover or replacement* lines; the prices/discounts are referred to as
13 *cutover or replacement* prices/discounts. There are also lines for new
14 switches that do not replace older existing switches. These lines are referred
15 to as new lines and they are, understandably, priced/discounted at levels
16 comparable to the cutover or replacement lines.

17
18 Then, after switch installation, higher prices (lower discounts) apply for lines
19 that are placed subsequently to accommodate customer growth. Lines that
20 are put into service to accommodate customer growth are called *growth lines*;
21 the prices are referred to as *growth* prices.

22

1 This observation important because Verizon has not properly accounted for its
2 growth and cutover lines and prices.

3

4 **Q. IS THERE A SIGNIFICANT DIFFERENCE BETWEEN CUTOVER AND**
5 **GROWTH PRICES/DISCOUNTS?**

6 A. Yes. Typically the difference between the prices and discounts for growth
7 lines versus cutover lines is enormous. In fact, growth lines can easily be two
8 or three time as expensive as cutover lines. The difference between
9 new/cutover trunk prices and growth trunk prices/discounts is typically no less
10 dramatic.

11 It is important to note at this point that the contracts are generally
12 expressed in terms of list prices and that the carrier will receive discounts for
13 cut-over and growth lines that are then applied against those discounts.
14 Ultimately, however, after the discounts are applied, cutover and growth
15 prices become apparent.

16

17 **Q. IN VIEW OF THE DRAMATIC DIFFERENCE IN CUTOVER AND GROWTH**
18 **PRICES/DISCOUNTS, IS IT IMPORTANT TO PROPERLY REFLECT THE**
19 **NUMBER OF CUTOVER LINES AND TRUNKS AND THE NUMBER OF**
20 **GROWTH LINES AND TRUNKS?**

21 A. Yes, it is critically important. For example, if one does not properly account
22 for the number of cutover lines and trunks, one will end up greatly overstating
23 per unit switch investments and, hence, switch related UNE costs.

1
2 Further, the SCIS model used by Verizon uses a table of list prices. It also
3 requires that a discount be input into the input tables. The discussion here,
4 then, concerns the proper calculation of the switch vendor discounts to be
5 input into SCIS. Because I have already recommended that the GTD-5
6 switch be eliminated from the switch mix, this obviates the need to discuss the
7 use of switch vendor discounts in COSTMOD. To the extent the Commission
8 considers the GTD-5 in its determination of switching costs, the flaws in
9 Verizon's modeling of switching costs are equally present for the GTD-5.

10
11 **Q. CAN YOU PROVIDE AN EXAMPLE OF HOW THE WEIGHING OF**
12 **CUTOVER AND GROWTH LINES AFFECTS THE PER UNIT**
13 **INVESTMENT IN SWITCH FACILITIES?**

14 **A.** Yes. The two tables below show how a change in the relative proportion of
15 cutover and growth lines results in a radically different average per line price.
16 While the example is a simplification of the calculations that are needed to
17 calculate the average price that Verizon pays – and hence the average per
18 line investment that should form the basis for UNE studies -- the results do
19 realistically reflect the magnitude of understating the number of cutover lines,
20 as Verizon did. (see Exhibit AHA-11)

21
22

1 **Q. DID VERIZON PERFORM AN APPROPRIATE WEIGHING OF CUTOVER**
2 **AND GROWTH PRICES?**

3 A. I do not believe that they did. Pending responses to discovery, my
4 understanding is that the switching studies are primarily weighted towards the
5 more expensive growth lines. Verizon's rationale, as I understand it, is that
6 the company will predominately be buying growth lines. However, this type
7 of reasoning fails to recognize that under a TELRIC scenario – in which the
8 network is newly constructed based on existing contracts – existing lines must
9 be valued at the cutover prices.

10

11 **Q. HAS VERIZON IN FACT FAILED TO PERFORM A TELRIC STUDY?**

12 A. Yes. The "T" in TELRIC stands for "Total," meaning that a cost study should
13 consider the total volume of demand for a network facility/element. This
14 means that under TELRIC, cost studies should reflect costs for the entirety of
15 Verizon's network, using the existing switch vendor contracts and the prices to
16 calculate the costs that Verizon would incur if it were to rebuild its switching
17 facilities using forward-looking, least cost switching technologies.

18

19 **Q. DID THE FCC EXPLICITLY FIND THAT TELRIC STUDIES SHOULD**
20 **CONSIDER THE TOTAL VOLUME OF DEMAND?**

21 A. Yes. Section 51.505(b) of the FCC's pricing rules provides:

22 (b) *Total element long-run incremental cost.* The total element long-
23 run incremental cost of an element is the forward-looking cost over

1 the long run of the *total quantity of the facilities and functions* that
2 are directly attributable to, or reasonably identifiable as incremental
3 to, such element, calculated taking as a given the incumbent LEC's
4 provision of other elements. (Emphasis added.)

5

6 This point was further emphasized in paragraph 685 of the FCC Local
7 Competition Order, where the Commission adopted a scorched node
8 approach:

9 685. We, therefore, conclude that the forward-looking
10 pricing methodology for interconnection and unbundled
11 network elements should be based on costs that assume
12 that *wire centers will be placed at the incumbent LEC's*
13 *current wire center locations*, but that the reconstructed local
14 network will employ the most efficient technology for
15 reasonably foreseeable capacity requirements.

16

17 Clearly, because Verizon focuses primarily on facilities yet to be purchased at
18 growth discounts, its analysis is more like a Short-Run Marginal Cost study.

19

20 **Q. DID THE MICHIGAN PUBLIC SERVICE COMMISSION (“MPSC”) FIND**
21 **THAT SWITCHING STUDIES SHOULD BE HEAVILY WEIGHTED**
22 **TOWARD CUTOVER LINES?**

1 A. Yes. In its Order in a recent TELRIC case, the MPSC found that Ameritech's
2 switching cost studies were too heavily weighted toward the more expensive
3 growth lines on the switch:

4 The Staff is concerned that Ameritech Michigan used a
5 completely new model to derive costs for switching services
6 and placed *too much weight on growth lines* (i.e., lines
7 added after the switch is installed) for which vendors charge
8 more per line than they charge for lines that are connected
9 when the switch is first installed (cut-over lines). The Staff
10 says that, by doing this, Ameritech *Michigan computed the*
11 *cost for only incremental lines rather than all of its lines as*
12 *costing principle no. 3 requires.* The Staff recommends that
13 Ameritech Michigan be required to rerun the study assuming
14 *30% growth lines rather than 70% growth lines.* (Page 13
15 and 14.) (*In the matter, on the Commission's own motion, to*
16 *consider the total service long run incremental costs for all*
17 *access, toll, and local exchange services provided by VZ*
18 *Michigan, MPSC Case No. U-11831, November 16, 1999.*)

19
20

21 **Q. IN A PURE TELRIC SETTING, SHOULD COST STUDIES BE BASED ON**
22 **CUTOVER LINE PRICES AND CUTOVER TRUNK PRICES?**

23 A. In a pure TELRIC setting, switch investments should be based on a
24 scorched node the approach, in which all switches – for all lines -- are

1 replaced with new state-of-the art switching facilities at cutover prices.
2 Thus, in a pure TELRIC approach, switch investments should be based
3 *only on the cutover prices.*

4

5 **Q. HAS THE U. S. DISTRICT COURT OF DELAWARE STATED THAT THE**
6 **LARGER CUT-OVER DISCOUNTS – I.E., LOWER CUTOVER PRICES --**
7 **ARE APPROPRIATE UNDER THE TELRIC METHODOLOGY?**

8 A. Yes. The U.S. District Court of Delaware just recently stated that the
9 larger cut-over discounts are appropriate under the TELRIC methodology.

10 Specifically, the court stated:

11 Indeed, Bell's own expert witness admitted in testimony
12 before the Hearing Examiners that the Local Competition
13 Order "says rip every switch out. All of them... Every switch
14 in the network, rip them out. Leave the ... wire center
15 location where they [sic]are. And build the network that you
16 would build today to serve the demand." First SGAT
17 Report, p 31, at 16 (J.A. 1325) (quoting testimony of William
18 E. Taylor). [FN17]

19

20 *In the long-run (a period of time that varies according to the technology at*
21 *issue), an efficient and rational competitor would replace all of its existing*
22 *switches with the most current technology and receive the bulk-rate*
23 *discounts. Viewed in this light, Bell's proposed switch costs, which it*

1 premised upon the *smaller add-on discounts* for which it will qualify "in the
2 coming years," looks only to the *short-run*. The Hearing Examiners
3 correctly concluded that Bell's cost analysis was "deficient in that it does
4 not reflect a long-run approach, but rather a series of short-run cost
5 estimates." First Report p 33, at 18 (J.A. 1327). Therefore, the court shall
6 affirm the Commission's SGAT Order as it relates to switch discounts.

7 (Emphasis added.) (BELL ATLANTIC-DELAWARE, INC., Plaintiff, v.
8 Robert J. McMAHON, Chairman, et al., Defendants. AT & T
9 Communications of Delaware, Inc., Plaintiff, v. Bell Atlantic-Delaware, Inc.,
10 et al., Defendants. No. 97-511-SLR, 97-616-SLR. United States District
11 Court, D. Delaware. Jan. 6, 2000).

12
13 **Q. HAS THE FCC ALSO RECOGNIZED THAT THE CUTOVER LINE**
14 **PRICES SHOULD BE USED IN THE ILEC'S FORWARD-LOOKING**
15 **ECONOMIC COST STUDIES?**

16 **A.** Yes. The FCC found the following:

17 the suggestions of Ameritech, Bell Atlantic, BellSouth, GTE,
18 and Sprint that the costs associated with purchasing and
19 installing switching equipment upgrades should be included
20 in our cost estimates. The model platform we adopted is
21 intended to use the most cost-effective, forward-looking
22 technology available at a particular period in time. *The*
23 *installation costs of switches estimated above reflect*

1 ***the most cost-effective forward-looking technology*** for
 2 meeting industry performance requirements. Switches,
 3 augmented by upgrades, may provide carriers the ability to
 4 provide supported services, but do so at greater costs.
 5 Therefore, such augmented switches do not constitute cost-
 6 effective forward-looking technology.” (FCC Docket No. 99-
 7 304, para. 317) (Emphasis added.)
 8

9 **Q. WHAT DO YOU RECOMMEND?**

10 A. If the Commission rejects the FCC’s scorched node TELRIC method,
 11 which requires Verizon’s switch related cost studies to be based on the
 12 cutover prices, I recommend that the Commission adjust Verizon’s
 13 approach to reflect the entire base of Verizon cutover lines and growth
 14 lines. Again, Verizon ignored that most lines were placed at the cheaper
 15 cutover prices and based its calculation mostly on the expensive growth
 16 lines. This is wrong – in fact, misleading – under all circumstances.

17 **Q. WHAT WEIGHING OF CUTOVER AND GROWTH LINES COULD THE**
 18 **COMMISSION ORDER IF IT REJECTS A PURE TELRIC APPROACH?**

19 A. An alternative weighing of cutover and growth lines is easily calculated as
 20 follows. Assuming an annual rate of growth for switch ports (lines), an
 21 appropriate weighing of cutover and growth lines is determined by
 22 applying the annual growth rate – for each year over the entire economic
 23 life of the switches – against a base of cutover lines. For example,
 24 assume that 50,000 lines are installed at cutover, the economic life is 18

1 years, and that the annual growth rate is 3%. Note that in this instance, a
 2 longer life is conservative, since it permits more growth on the switch, and
 3 hence, weighs the analysis more toward the expensive growth lines. By
 4 contrast, a short economic life would reduce the number of years over
 5 which the switch is able to grow, and hence, weighs the analysis toward
 6 inexpensive cutover lines. The appropriate number of growth lines is then
 7 determined by calculating 18 years of growth at 3%. Of course, given
 8 that the growth lines are installed over the course of 18 years, each year
 9 of growth would have to be *discounted* to the present period. The
 10 *weighted average per line switch vendor price* is then calculated as
 11 follows:

12

$$\frac{PV(\text{cutover price} \times \text{number cutover lines}) + PV(\text{growth price} \times \text{number of growth lines})}{\text{sum of cutover and growth lines}}$$

15

16

17 Exhibit AHA-3 provides calculations of determining the weighing of growth
 18 and cutover lines using this method. *The result is a weighing of 72% cutover*
 19 *line discount and a 28% growth line discount.*

20

21 **Q. IS THE RELATIVE WEIGHING OF CUTOVER AND GROWTH**
 22 **DISCOUNTS APPROXIMATELY COMPARABLE TO THE ONE JUST**
 23 **RECENTLY ORDERED BY THE NEW JERSEY BOARD OF PUBLIC**
 24 **UTILITIES?**

1 A. Yes. Based on Verizon's own switch vendor contracts, the NJ BPU reversed
2 Verizon's proposals and ordered a weighing roughly comparable to the one
3 calculated in this testimony.

4

5 **Q. WHAT DO YOU RECOMMEND?**

6 A. I recommend that the Commission use a pure TELRIC approach and order
7 Verizon to calculate switch costs based on just the cutover discounts. If the
8 Commission rejects this approach, then I recommend that the Commission
9 use the switch vendor discount weighing of *72% cutover discounts and a 28%*
10 *growth discounts.*

11

12 **C. VERIZON'S FEATURE COSTS ARE EXCESSIVE**

13

14 **Q. IS VERIZON PROPOSAL FOR FEATURES IN FLORIDA DIFFERENT**
15 **THAN VERIZON PROPOSAL IN OTHER STATES?**

16 A. Yes. Typically, feature costs are recovered in monthly port charges. The
17 reason is that most of the feature costs are non-traffic sensitive costs and
18 as such are most efficiently recovered on a non-measured basis. In any
19 event, Verizon typically recovers its feature costs in either the monthly
20 charges for the unbundled port or in the per minute of use charges for
21 unbundled switching. Most importantly, in other jurisdictions, the cost for
22 *all* features is included in either the port or the per minute of use charges
23 so that the CLEC can offer the entire bundle of features to its customers

1 without incremental charges for individual features. This practice is also
2 true for the other RBOCs, SBC, BellSouth and Qwest.

3 By contrast, here in Florida, Verizon is proposing to offer switch
4 features on an *a la carte* basis. As Mr. Trimble notes, "Verizon Florida has
5 never included the cost of various switch features in the cost of its switch
6 ports or end-office switching UNEs. The rational method for recovery of
7 switch features costs is to charge the CLECs only for what they use – i.e.,
8 on a per switch feature usage basis."
9

10 **Q. DO YOU AGREE WITH VERIZON'S PROPOSAL FOR SWITCH**
11 **FEATURE CHARGES?**

12 A. No. The proposal is highly anticompetitive and not consistent with cost
13 causation. The cost of switch features is intertwined in the fabric of the
14 switch software and is most efficiently recovered in the monthly port
15 charges. As noted, there are little or no usage related costs associated
16 with features.

17 Verizon's proposal is cumbersome and imposes artificial costs. By
18 forcing CLECs to order features on an individual basis, the costs are
19 artificially increased. It is analogous to being in a restaurant and ordering
20 French fries on an individual basis rather than all at once on a plate.
21 Clearly, the costs to the restaurant would greatly increase. So it is with
22 the switch features.
23

1 Verizon's proposed method here artificially increases both the recurring
2 costs for the features and the non-recurring costs.

3

4 **Q. WITH RESPECT TO THE NON-RECURRING COSTS, ARE THESE**
5 **AVOIDED ALL TOGETHER IF THE FEATURES COME**
6 **AUTOMATICALLY WITH THE SWITCH PORT?**

7 A. Yes. The non-recurring charges for the individual features – which are
8 exorbitantly and prohibitively high -- are entirely avoided if the features
9 come automatically with the switch port. Thus, while under Verizon's
10 proposal CLECs may incur literally over a hundred dollars in non-recurring
11 charges for basic features, a slightly different rate proposal would
12 eliminate such charges by making the ordering process itself
13 unnecessary. Again, in no other states in which QSI has participated has
14 Verizon introduced this anticompetitive proposal. It should be rejected.

15

16 **Q. WHAT IS YOUR RECOMMENDATION?**

17 A. I recommend that the Commission order Verizon to include all features in
18 the monthly port costs. Further, given that Verizon is the largest ILEC in
19 the country and must be able to avail itself of switching facilities at costs
20 no higher than those incurred by BellSouth, I recommend that the
21 Commission reject Verizon's feature rates altogether and adopt switch
22 rates no higher than those just recently adopted by the Commission for
23 BellSouth. This recommendation is reasonable in view of Verizon's

1 proposal for a rate structure and associated cost studies for features that
2 can only be construed as deliberately anticompetitive.

3
4 **IX. NONRECURRING CHARGES SHOULD BE TELRIC BASED**
5

6 **Q. COULD NONRECURRING CHARGES POTENTIALLY POSE A**
7 **SERIOUS BARRIER-TO-ENTRY?**

8 A. Yes. As discussed previously, prices for unbundled network elements that
9 are based on TELRIC promote efficient entry. But, while TELRIC based
10 recurring and non-recurring prices for unbundled network elements are a
11 necessary condition for efficient entry, they are not a sufficient condition.
12 If the incumbent LECs are allowed to impose unreasonably high
13 nonrecurring charges, then efficient carriers can still be prevented from
14 operating viably in local exchange markets. That is, if nonrecurring
15 charges are set above economic cost, then these charges could in effect
16 create a barrier-to-entry that would protect and prolong the incumbent
17 LEC's monopoly position in local markets.

18
19 **Q. IN GENERAL, WHAT TYPES OF COSTS SHOULD BE RECOVERED**
20 **THROUGH RECURRING CHARGES AND WHAT TYPES OF COSTS**
21 **SHOULD BE RECOVERED THROUGH NONRECURRING CHARGES?**

22 A. Consistent with the previously discussed TELRIC principles, cost should
23 be recovered in the manner in which they are incurred. This means that in
24 general, recurring costs should be recovered through recurring charges

1 and nonrecurring, one-time, costs should be recovered through
2 nonrecurring charges. Furthermore, with respect to the costs of
3 operational support systems and activities, nonrecurring costs should only
4 be recovered through nonrecurring charges (for a network element) if the
5 costs are a *direct cost* to a specific unbundled network element (for
6 example, an unbundled loop for customer X) that is ordered and
7 provisioned. If the nonrecurring cost is a *common cost* to the ordering and
8 provisioning of *all* network elements, such costs should be recovered
9 through recurring charges.

10 The rationale here is simple. In general, direct costs associated
11 with the ordering and provisioning of a specific unbundled network
12 element should be recovered from the ALEC customer ordering and using
13 the network element: that is, the costs must be recovered from the cost-
14 causers.

15 Common costs, on the other hand, are not caused by an individual
16 ALEC customer but rather by all customers collectively. It is appropriate,
17 therefore, to spread these costs over the total projected output of all
18 network elements (for which these costs were incurred) in the form of
19 recurring charges. This ensures that the totality of the costs are recovered
20 without disproportionately burdening some customers (ALEC) more than
21 others. That is, by including the common costs in recurring charges for
22 unbundled network elements, each ALEC customer will pay for a share of
23 the common costs of ordering and provisioning processes that is *directly*

1 *proportional* to the length of time that the unbundled elements are used by
2 that customer.

3

4 **Q. IF ILECS ARE PERMITTED TO RECOVER RECURRING COSTS**
5 **THROUGH NONRECURRING CHARGES, THEN COULD THIS CREATE**
6 **A BARRIER TO ENTRY AND IMPAIR THE COMPETITIVE PROCESS?**

7 A. Yes. CLECs will attempt to enter local markets without an existing
8 customer base. As such, they face nonrecurring charges for every
9 customer they want to serve by means of unbundled network elements. If
10 nonrecurring charges contain front-loaded recurring costs that will
11 periodically be incurred by the ILEC *in the future*, then the CLECs' up-front
12 costs for entering local markets may be increased significantly. Given that
13 these nonrecurring charges apply disproportionately to CLECs (relative to
14 the incumbent LECs), they constitute a barrier to entry. The FCC
15 recognized the potentially anti-competitive nature of nonrecurring charges
16 in paragraph 747 of its Local Competition Order:

17 ...we find that *imposing nonrecurring charges for recurring*
18 *costs could pose a barrier to entry* because these charges
19 may be excessive, reflecting costs that may (1) not actually
20 occur; (2) be incurred later than predicted; (3) not be incurred
21 for as long as predicted; (4) be incurred at a level that is lower
22 than predicted; (5) be incurred less frequently than predicted;

1 and (6) be discounted to the present using a cost of capital
2 that is too low. (Emphasis added.)
3

4 **Q. ARE THERE INSTANCES IN WHICH DIRECT NON-RECURRING**
5 **COSTS MAY BE RECOVERED THROUGH RECURRING CHARGES?**

6 Yes. There are situations in which the LECs can make reasonable
7 predictions as to the average non-recurring costs incurred in the provision
8 of a network element. In such instances, it could make sense to spread
9 those costs out over the economic life of the facilities by recovering them
10 through recurring rather than through non-recurring charges. As the FCC
11 noted in section 51.507(e) of its Local Competition rules: "State
12 commissions may, where reasonable, require incumbent LECs to recover
13 nonrecurring costs through recurring charges over a reasonable period of
14 time."

15 This practice is perfectly consistent with the workings of competitive
16 markets. After all, firms in competitive markets often seek to lower the up-
17 front costs to customers by spreading any nonrecurring costs over
18 subsequent recurring charges.
19

20 **Q. SHOULD NONRECURRING CHARGES BE BASED ON TELRIC?**

21 A. Yes. All activities and products that local exchange companies – ILECs
22 and CLECs – provide to one another should be based on TELRIC. As
23 explained previously, TELRIC based prices are compensatory, ensure

1 efficient entry and generally promote the public interest.

2

3 **Q. DID THE FCC FIND THAT NONRECURRING CHARGES SHOULD BE**
4 **BASED ON TELRIC?**

5 A. Yes. Section 51.507(e) of the FCC Local Competition Rules states:

6 State commissions may, where reasonable, require
7 incumbent LECs to recover nonrecurring costs through

8 recurring charges over a reasonable period of time.

9 Nonrecurring charges shall be allocated efficiently among

10 requesting telecommunications carriers, and shall not

11 permit an incumbent LEC to recover more than the *total*

12 *forward-looking economic cost* of providing the applicable

13 element. (Emphasis added.)

14

15 **Q. DOES THIS MEAN THAT NONRECURRING CHARGES SHOULD BE**
16 **BASED ON THE MOST EFFICIENT, FORWARD-LOOKING**
17 **ELECTRONIC OPERATIONAL SUPPORT SYSTEMS?**

18 A. Yes. ILECs often base cost studies for NRCs on inefficient OSS that
19 entail large amounts of labor to complete CLECs' service orders, etc. –

20 this is inappropriate. Particularly, these labor related inefficiencies drive

21 up the costs for NRCs dramatically. Instead, cost studies for NRCs should

22 be on the most efficient electronic systems available. Since labor is often

23 such an expensive component of taking service orders, etc., the OSS

1 should allow to the maximum degree an integration of the CLECs
2 electronic systems with those of the ILECs. If this is done appropriately,
3 then the costs for NRCs are reduced significantly or they become
4 negligibly small.

5 Further, the Commission should recognize that if it permits the
6 ILECs to set nonrecurring charges based on inefficient systems, that it is
7 rewarding these companies for inefficiencies. That is, since ILECs would
8 be able to recoup the costs associated with inefficient systems, they would
9 never have an incentive to enhance the efficiency of these systems. The
10 incentives for ILECs to implement efficient systems is even further
11 reduced by the fact that it is the CLECs that will be handicapped in their
12 ability to compete by higher nonrecurring charges. Conversely, if prices
13 are set based on the costs of efficient OSS, then ILECs are more likely to
14 actually implement such systems.

15
16 **Q. IN APPROVING THE ILECS' NONRECURRING CHARGES, SHOULD**
17 **THE COMMISSION PAY SPECIAL ATTENTION TO THE POSSIBILITY**
18 **OF DOUBLE RECOVERY OF COSTS?**

19 **A.** Yes. I have already discussed how nonrecurring charges may derail the
20 development of local competition. In view of this, it is particularly
21 important that the Commission pay special attention that certain types of
22 costs are not included in both the recurring and in the nonrecurring
23 charges. While it is obvious that as a matter of costing methodology this

1 would be inappropriate, in practice, one is likely to find many instances of
 2 such double counts if cost studies are patiently and thoroughly scrutinized.
 3 In recognition of the potential for double recovery of costs, the FCC stated
 4 the following in its local Competition Order:

5 We require, however, that state commissions take steps to
 6 ensure that incumbent LECs do not recover nonrecurring
 7 costs twice and that nonrecurring charges are imposed
 8 equitably among entrants. (Paragraph 750)

9
 10 **X. COSTS FOR UNEs SHOULD BE DE-AVERAGED TO REFLECT**
 11 **GEOGRAPHIC DIFFERENCES**
 12

13 **Q. SHOULD RATES BE DE-AVERAGED TO REFLECT COST**
 14 **DIFFERENCES ACROSS GEOGRAPHIC AREAS?**

15 A. Yes. In order to comply with section 252(d)(1)'s requirement that rates be
 16 "based on the cost . . . of providing the . . . network element," rates for
 17 unbundled network elements must accurately and fully reflect each of the
 18 "cost drivers" that have a direct impact on the costs calculated. Checklist
 19 items (i) and (ii) require interconnection and nondiscriminatory access to
 20 network elements in accordance with section 252(d)(1) of the Act. See 47
 21 U.S.C. §§ 271(c)(2)(B)(i) and (ii).

22
 23
 24 **Q. IS THE NEED TO DETERMINE DE-AVERAGED COSTS**

1 **PARTICULARLY IMPORTANT WITH RESPECT TO LOOP COST**
2 **STUDIES?**

3 A. Yes. While this mandate pertains to all unbundled network elements, it is
4 particularly important with respect to unbundled loops. First, new entrant's
5 access to loops at efficient, cost-based rates is critical to the development
6 of local competition. The local loop is the most expensive and difficult
7 portion of the local network to replicate on a ubiquitous basis. For this
8 reason, many competitors will be forced to rely, in varying degrees, on
9 being able to use the loop facilities of the incumbent LECs. Second, loop
10 costs, perhaps more than the costs for any other element, vary
11 significantly across geographic regions.

12 The primary cost drivers of loop costs are loop length and customer
13 density; both vary in predictable and demonstrable ways across different
14 geographic areas. All else being equal, longer loops in low density areas
15 are more costly than shorter loops placed in high density areas. As a
16 result, loop costs vary significantly across geographic areas.

17
18 The development of cost-based rates requires that these significant
19 geographic variations in costs be accurately and fully reflected in the rates
20 for loops. Therefore, only loop rates that are appropriately geographically
21 de-averaged can be found to be cost-based and in compliance with
22 section 252(d)(1) of the Act. In paragraph 764 of the Local Competition
23 order the FCC stated that:

1 de-averaged rates more closely reflect the actual
2 costs of providing interconnection and unbundled
3 elements. Thus, we conclude that rates for
4 interconnection and unbundled elements must be
5 geographically de-averaged.

6
7 In paragraph 765 of the Local Competition order, the FCC further
8 concluded that the Act requires at least three "de-averaged" rate zones.

9 The principle that policy decisions should be based on de-averaged
10 -- rather than averaged -- cost information was reconfirmed by the FCC in
11 its Universal Service Order, CC Docket No. 96-45, May 7, 1997. In
12 paragraph 250 of this Order, the FCC found that, for USF purposes, "the
13 cost study or model must de-average support calculations to the wire
14 center serving area level at least, and, if feasible, to even smaller areas
15 such as a Census Block Group, Census Block, or grid cell." Thus, the
16 FCC reconfirmed the consensus among cost analysts that loop costs vary
17 from wire center to wire center and that those cost variations are
18 significant and should not be ignored.

19

20 **Q. IF LOOP COSTS ARE NOT DE-AVERAGED, WILL THIS LEAD TO**
21 **INEFFICIENCIES THAT DIMINISH OVERALL WELFARE IN FLORIDA?**

22 A. Yes. If the loop costs, and hence loop prices, are not de-averaged, the
23 pricing scheme will discourage efficient use of existing resources. When
24 deciding to offer service in a given area, new entrants will be making

1 decisions regarding whether to build their own facilities or purchase
2 unbundled loops from the incumbent LEC. In the simplest terms, new
3 entrants may be expected to build their own facilities when they can do so
4 for less than the unbundled loop rates, and will lease an unbundled loop
5 when they cannot. In order for a new entrant to make this analysis on an
6 informed basis, however, it is essential that loop rates accurately reflect an
7 underlying cost that is specific to the geographic area being evaluated.

8 In addition, the incumbent LEC will receive an artificial competitive
9 advantage in those geographic areas in which the actual loop costs are
10 less than the adopted rate for loops, if no de-averaging were ordered.
11 This artificial advantage, gained through the establishment of an inefficient
12 rate structure for elements rather than by virtue of superior efficiency on
13 the incumbent LEC's part, will allow the incumbent to prevent the
14 development of local exchange competition in the more metropolitan
15 areas of the state. That is, an otherwise equally efficient CLEC would
16 have to pay more than the actual economic costs for loops in metropolitan
17 areas with a high density of customers and relatively shorter loop lengths.
18 The incumbent LEC, therefore, has an artificial cost advantage and, in a
19 competitive setting, can underprice the CLEC for competitive retail service
20 and thereby discourage competition. Moreover, the incumbent LEC will
21 also be able to use a portion of its inflated loop rate to subsidize other
22 services and thereby gain a competitive advantage over its competitors. In
23 short, if prices do not reflect cost, then the development of competition will

1 be impaired and the ratepayers of Florida will be deprived of an optimally
2 efficient network at competitive prices.

3
4 **XI. COST OF CAPITAL**

5
6 **Q. DO YOU AGREE WITH VERIZONS PROPOSED COST OF CAPITAL?**

7 A. No, I do not. Through the direct testimony of Dr. Vander Weide filed on
8 November 7, 2001, Verizon is requesting a 12.95% cost of capital using a
9 market value-based capital structure that assumes a 25% debt / 75%
10 equity ratio, a cost of debt of 7.55% and a cost of equity of 14.75%. (See
11 Direct Testimony of Dr. James H. Vander Weide, Florida Docket 990649-
12 TP, page 51).

13
14 **Q. HAVE YOU PREPARED AN ANALYSIS OF THE WEIGHTED AVERAGE**
15 **COST OF CAPITAL VERIZON – FL SHOULD USE IN THIS**
16 **PROCEEDING?**

17 A. No, I have not. However, I am providing the Commission comparative
18 information that demonstrates the unreasonableness of Verizon – FL's
19 request for a 12.95% cost of capital. This information demonstrates that Dr.
20 Vander Weide's (1) recommended market value capital structure be rejected,
21 (2) proposed debt / equity ratio of 25% / 75% is too heavily weighted towards
22 equity, and (3) use of the S&P Industrials as a benchmark for competitive risk
23 is without merit.

1

2 **Q. WHY DO YOU DISAGREE WITH DR. VANDER WEIDE'S**
3 **RECOMMENDATION THAT THE COMMISSION ACCEPT A MARKET**
4 **VALUE CAPITAL STRUCTURE?**

5 A. Dr. Vander Weide's recommended market value-based capital structure is
6 inconsistent with this Commission's previous ruling in the BellSouth phase
7 of this docket. In Order No. PSC-01-1181-FOF-TP, the Commission
8 determined "...that market value capital structures have not been widely
9 accepted and produce aberrant coverage ratios." (See Florida Public
10 Service Commission Order No. PSC-01-1181-FOF-TP in Docket No.
11 990649-TP, issued May 25, 2001, page 188)

12 In reaching this conclusion, the Commission noted that the
13 Telecommunications Act of 1996 requires the use of forward-looking
14 costs, but not the use of a market value capital structure. (Id., page 187).

15 In rejecting BellSouth's request, the Commission determined that a
16 40% debt and 60% equity ratio is appropriate in part because it is close to the
17 standards set by bond rating agencies.

18

19 **Q. HAVE OTHER STATE COMMISSIONS WITHIN VERIZONS OPERATING**
20 **REGION MADE DETERMINATIONS ON THE APPROPRIATENESS OF**
21 **VERIZON'S REQUESTED COST OF CAPITAL FOR UNES?**

22 A. I know of at least two states, New Jersey and New York, where a decision has
23 been reached rejecting Verizons proposed cost of capital.

1

2 **Q. WHAT COST OF CAPITAL WAS APPROVED IN THE NEW JERSEY UNE**
3 **PROCEEDING?**

4 A. The New Jersey Board of Public Utilities adopted a cost of capital of 8.8%
5 as recommended by the Ratepayer Advocate in an order dated November
6 20, 2001. (See *In the Matter of the Board's Review of Unbundled Network*
7 *Element Rates, Terms and Conditions of Bell Atlantic New Jersey, Inc.*,
8 Summary Order of Approval in New Jersey Docket No. TO00060356,
9 November 20, 2001, Part I(d), page 5. (*New Jersey Summary Order of*
10 *Approval*))

11 The New Jersey Board of Public Utilities found that Ratepayer
12 Advocate's analysis was the most reasonable and forward-looking in the
13 record. This analysis was based upon Verizon's existing debt / equity ratio
14 where debt comprises a larger proportion of Verizon's total capital
15 structure, an 8.07% cost of debt derived from the interest rate of "A" rated
16 utility debt, and a 10% cost of equity based upon data from Value Line
17 Reports adjusted for risk (I interpret Verizon's existing debt / equity ratio to
18 be its book value capital structure. Based upon the cost of debt, cost of
19 equity and weighted average cost of capital calculated, the book value
20 capital structure is approximately 60% debt and 40% equity.) (See *New*
21 *Jersey Summary Order of Approval*, page 5).

22
23

1 **Q. WHAT WAS THE RECOMMENDED COST OF CAPITAL IN THE NEW**
2 **YORK UNE PROCEEDING?**

3 A. The Administrative Law Judge recommended a weighted average cost of
4 capital of 10.5% derived from a debt / equity ratio of 35% / 65%, a cost of
5 debt of 7.39% and a cost of equity of 12.19%. ((See *Proceeding on Motion*
6 *of the Commission to Examine New York Telephone Company's Rates for*
7 *Unbundled Network Elements*, Recommended Decision by Administrative
8 Law Judge Joel A. Linsider, New York Case 98-C-1357, Issued May 16,
9 2001, pages 82 –83).

10 Verizon had requested a 12.6% cost of capital while Dr. Vander Weide
11 concluded that a 13.03% cost of capital based upon a debt / equity ratio of
12 25% / 75%, a cost of debt of 7.77% and a cost of equity of 14.78% would
13 have been reasonable. *Id. at 68*. In reaching his recommendation, the judge
14 appeared to be most concerned with Verizon's risk assumptions as it pertains
15 to the cost of equity determination.

16
17 **Q. WHAT WAS THE NEW YORK ADMINISTRATIVE LAW JUDGE MOST**
18 **CONCERNED WITH IN VERIZON'S COST OF EQUITY CALCULATION?**

19 A. The Administrative Law Judge was concerned with the risk profile presented
20 by Verizon. In laying the foundation for his decision, the judge referenced the
21 New York Public Service Commission's previous finding on NYNEX's (the
22 predecessor of Verizon in New York) risk profile.

23 New York Telephone greatly strains the FCC's forward-looking
24 concept in taking it as warrant for regarding NYNEX as

1 comparable, for cost of capital purposes, to certain industrial
2 firms operating in different, if fully competitive markets. One
3 can recognize the consequences of competition in
4 telecommunications without concluding that NYNEX will
5 operate in the same environment and face the same risks as
6 the S&P Industrials. ... (*Id. at 78*)

7 The judge then noted that this observation was no less pertinent today than
8 when first made. In supporting his decision, the judge emphatically stated
9 that:

10 Verizon correctly argues that TELRIC should not be understood
11 to contemplate a "fantasy network" that makes use of
12 speculative technology. But neither should it be taken to
13 require basing the cost of capital on a "fantasy marketplace," in
14 which the provision of local telephone service is as competitive
15 as the sale of detergent. Such a market is our goal; together
16 with federal regulators we are fostering it; and significant
17 progress in that direction has been made. But one cannot
18 realistically claim that the goal will be reached with respect to
19 local service within the next few years. With respect to UNEs,
20 vibrant competition seems even more remote; indeed, were it
21 achieved, there would be no need for regulators to require
22 TELRIC pricing in the first place. (*Id. at 79*)

1 The judge concluded that the proxy group used by AT&T in its analysis should
2 be used to determine the cost of equity. The judge's conclusion on Verizon's
3 use of the S&P Industrials in its cost of equity analysis is also relevant in this
4 proceeding because Dr. Vander Weide uses the S&P Industrials in his
5 Discounted Cash Flow analysis in his Exhibit JWV-1. He claims that, "The
6 forward-looking risk of investing in the facilities required to provide UNEs in
7 Florida is at least as great as the forward-looking risk of investing in the S&P
8 Industrials.(Dr. Vander Weide, Direct, page 45) Based on the foregoing, I
9 urge this Commission to reject this argument.

10

11 **Q. WHAT COST OF CAPITAL DO YOU RECOMMEND THE COMMISSION**
12 **APPROVE IN THIS PROCEEDING?**

13 A. Based upon the Commission's decision in the BellSouth phase of this
14 proceeding and the orders I cite from New York and New Jersey, I
15 recommend that the Commission set Verizon's cost of capital no higher than
16 the 10.24% approved for BellSouth and no lower than the 8.8% approved for
17 Verizon in New Jersey. In doing so, the Commission should require that
18 equity comprise no more than 60% of Verizon's capital structure.

19

XII. DEPRECIATION

20

21 **Q. DO YOU AGREE WITH MR. SOVEREIGN'S RECOMMENDATION THAT**
22 **THE COMMISSION APPROVE THE USE OF ECONOMIC LIVES IN**
23 **CALCULATING DEPRECIATION FOR VERIZON'S UNE COST STUDIES?**

1 A. No, I do not. Verizon – FL should be required to set its projection lives within
2 the range approved by the FCC.

3

4 **Q. ARE THE PROJECTION LIVES PRESCRIBED BY THE FCC**
5 **FORWARD-LOOKING?**

6 A. Yes, they are. As the FCC noted in its “1999 Update” order, in 1980, it
7 “departed from its previous practice of relying largely on historical
8 experience to project equipment lives and began to rely on analysis of
9 company plans, technological developments, and other future-oriented
10 studies(FCC, 1998 Biennial Regulatory Review-Review of Depreciation
11 Requirements for Incumbent Local Exchange Carriers, CC Docket 98-137,
12 Report and Order, FCC 99-397, released December 30, 1999 (“1999
13 Update”), para. 5).

14 In 1995, the FCC reaffirmed its forward-looking orientation in
15 connection with the simplification of its depreciation prescription
16 practices. The FCC prescribed a range of projection lives that could be
17 selected by carriers for prescription on a streamlined basis. The FCC
18 stated that these ranges were based upon “statistical studies of the most
19 recently prescribed factors. These statistical studies required detailed
20 analysis of each carrier’s most recent retirement patterns, the carriers’
21 plans, and the current technological developments and trends.”(See
22 *Simplification of the Depreciation Prescription Process*, CC Docket

1 No. 92-296 ("Prescription Simplification" proceeding), Third Report and
2 Order, FCC 95-181, released May 4, 1995, p. 6).

3 In 1999, the FCC completed a review of these ranges and updated
4 them as appropriate (1999 Update, para. 14) The FCC stated:

5 These ranges can be relied upon by Federal and state
6 regulatory commissions for determining the appropriate
7 depreciation factors for use in establishing high cost support
8 and interconnection and UNE prices. (*Id.*, para. 34)

9
10 Indeed, the FCC further stated:

11 In adopting a forward-looking mechanism for high-cost support, we
12 found that depreciation expense calculations based on the
13 Commission's prescribed projection lives and salvage factors
14 represent the best forward-looking estimates of depreciation lives
15 and net salvage percentages.(FCC, United States Telephone
16 Association's Petition for Forbearance from Depreciation
17 Regulation of Price Cap Local Exchange Carriers, ASD 98-91,
18 Memorandum Opinion and Order, FCC 99-397, released December
19 30, 1999, para. 61 (emphasis added)).

20

1 Q. WHAT IS YOUR ALTERNATIVE RECOMMENDATION IF THE
2 COMMISSION DOES NOT APPROVE PROJECTION LIVES WITHIN THE
3 RANGE PRESCRIBED BY THE FCC?

4 A. If the Commission does not accept my recommendation to use the range of
5 projection lives approved by the FCC, then I recommend that the Commission
6 adopt the lives approved for BellSouth in the earlier phase of this proceeding
7 since they are relatively close to those approved by the FCC. The
8 Commission should reject Mr. Sovereign's proposal requesting projection
9 lives shorter than those approved for BellSouth for Digital Switching and the
10 Copper Cable accounts because his claim that Verizon is subject to more
11 competitive pressures in its serving area than BellSouth should have no
12 bearing on the Commission's determination. Additionally, it is difficult to
13 believe that Verizon is subject to more competitive pressures than BellSouth
14 when BellSouth serves the majority of the access lines in the state.

15

16 Q. DO YOU HAVE A COMPARISON OF THE VARIOUS PROJECTION LIVES
17 YOU RECOMMEND VERSUS THOSE PROPOSED BY VERIZON – FL?

18 A. Yes, I do. I have prepared a matrix comparing the projection lives
19 proposed by Verizon, the FCC-approved projection lives, and the
20 Commission's approved lives in the BellSouth phase of this proceeding
21 (Exhibit AHA-12).

22

CONCLUSION

23

1 Q. DOES THIS CONCLUDE YOUR TESTIMONY?

2 A. Yes, it does.

1 BY MS. McNULTY:

2 Q Doctor Ankum, could you please provide a brief
3 summary of your testimony?

4 A Yes, I can. In my testimony I tackle a number of
5 what I would consider fairly detailed and complex issues, but I
6 also provide a number of more overarching issues and arguments
7 that I think should appeal to almost everybody even if one is
8 not an economist, or an engineer, or a telecom expert. Those
9 are what I call the common sense arguments, or direct face
10 test. And I present a number of them.

11 One of them concerns a analysis of rates across
12 companies and across states. Verizon has proposed a number of
13 rates here that compared to the current rates pose significant
14 cost increases. Now, we can go into all the details of the
15 cost studies, and there are many, but I would ask you as I have
16 in my testimony to step back just a little bit and say now let
17 me just look at this like as if you were an ordinary ratepayer.
18 And to make it simple to you, since you know the state far
19 better than I ever will, compare Orlando to let's say the Tampa
20 Bay area where Verizon operates and ask yourself the question
21 can you think of any product that is three times as expensive
22 in Tampa as it is in Orlando? Can you think of any soft drink?
23 Can you think of any car? Can you think of a computer, office
24 stationery, anything? And I presume as you are running through
25 this scenario in your mind you are saying no.

1 Now, when we look at central office switching it is
2 important to note here that the Commission in the BellSouth
3 order decided not to deaverage switching because across
4 BellSouth's vast territory in Florida switching generally
5 should cost the same. That's what it means to not deaverage,
6 right? So now we are going from Orlando to Tampa and we find
7 that in Orlando switching costs roughly -- and I'm talking
8 about the port -- \$1.17.

9 You take that same switch, which could be a DMS 100
10 from Nortel or a Lucent 5ESS, and you move it a little bit west
11 and all of a sudden that switch port costs you three times as
12 much, \$3.30. And I would ask you to think of this just as an
13 ordinary ratepayer. Why would it cost three times as much
14 where we are dealing with the identically same switch moved
15 only -- what can it be, like 100 miles west. It sits in the
16 same type of building, it is operated by the same kinds of
17 telecommunications technicians and central office technicians.
18 I would say with a common sense approach you know something is
19 wrong.

20 Now, if the BellSouth rates were out of line with
21 what we had seen elsewhere, you would say BellSouth's rate is
22 out of line. But we know that the rate for BellSouth is in
23 line with other states. It is the Verizon rate here that is
24 out of line with what we have seen elsewhere and it makes no
25 sense.

1 Now, I also in my testimony talk about the effect of
2 the merger. And I would like to take you back two years and I
3 presume that, well, some of you might have been on the bench, I
4 don't know exactly if you were. But Verizon and GTE, those two
5 local monopolies came to regulators, the Department of Justice
6 and the FCC, and said, yes, we are monopolies, but will you
7 give us the permission to merge. And of course everybody was
8 screaming. It was like, well, how can you let two monopolies
9 merge? We are having a hard enough time tackling one, why make
10 them bigger? And the response of policymakers was, well, they
11 are promising us something. Well, what were they promising?

12 MR. HUTHER: I'm sorry to interrupt, but I'm going to
13 have to object, Madam Chair. I have been a bit patient so far
14 and Doctor Ankum four or five minutes into this summary has
15 already exceeded by a wide margin the scope of his direct
16 testimony. He made no reference to this subject or many of the
17 past subjects, and I would ask that he be limited in this
18 summary of his testimony to those subjects that were directly
19 covered in his testimony.

20 CHAIRMAN JABER: And, Doctor Ankum, prior to the
21 objection I was wondering at what point your summary was going
22 to start and end. So stay focused on what you actually filed.

23 THE WITNESS: I will, Your Honor. And I will make it
24 two or three minutes if I may, if you can indulge me.

25 CHAIRMAN JABER: I'm sorry, what did you just say?

1 THE WITNESS: About two minutes, three minutes
2 possibly at the most and I will wrap. That will be the
3 entirety of my summary.

4 CHAIRMAN JABER: Okay. But you need to limit your
5 summary to what you actually filed.

6 THE WITNESS: Good. I did a rate comparison in my
7 testimony with New Jersey and New York rates. My argument was
8 this company -- and I have laid it out in my testimony -- that
9 the company should no longer be viewed as GTE, but be seen as
10 Verizon, which is this nation's largest phone company. And a
11 comparison as I present in my testimony should be made with the
12 Verizon rates in New Jersey and New York that were just
13 recently approved.

14 What I present there were rates for New Jersey of,
15 let's say, an unbundled loop of \$8. Verizon here is presenting
16 \$22. Most significantly, and I state in my testimony, in New
17 Jersey, rural New Jersey, the highest cost loop is \$11. Here
18 in Florida the same Verizon company sells at \$77. So I ask you
19 to use common sense and say, "Is it credible that here in
20 Florida with relatively favorable terrain it costs seven times
21 as much to build a loop as in New Jersey?"

22 Now, I also do a market capitalization in my
23 testimony and I show that after entrepreneurs and CLECs and
24 everybody else was invited to put money into the
25 telecommunications industry to keep this country competitive

1 and this state competitive, trillions of dollars were poured
2 into the telecom industry. If you look at a large number of
3 CLECs, 81 percent of the market capitalization has evaporated.
4 The company that very successfully broke into the long distance
5 market, MCI WorldCom, was trading for most of the time between
6 40 and \$60 is now trading at \$2.50. You cannot claim they are
7 not trying. They are fighting for their lives.

8 I would say use common sense here. My message is
9 under the rates proposed by Verizon competition will not work
10 in Verizon's territory. If you have to buy high and must sell
11 low, you will make a loss and you cannot make it up in volume.

12 This concludes my summary.

13 MS. McNULTY: Thank you, Doctor Ankum. The ALEC
14 coalition tenders the witness for cross examination.

15 CHAIRMAN JABER: Thank you. Mr. Huther.

16 (Transcript continues in sequence with Volume 9.
17
18
19
20
21
22
23
24
25


1 STATE OF FLORIDA)
2 : CERTIFICATE OF REPORTER
3 COUNTY OF LEON)

4 I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter
5 Services, FPSC Division of Commission Clerk and Administrative
6 Services, do hereby certify that the foregoing proceeding was
7 heard at the time and place herein stated.

8 IT IS FURTHER CERTIFIED that I stenographically
9 reported the said proceedings; that the same has been
10 transcribed under my direct supervision; and that this
11 transcript constitutes a true transcription of my notes of said
12 proceedings.

13 I FURTHER CERTIFY that I am not a relative, employee,
14 attorney or counsel of any of the parties, nor am I a relative
15 or employee of any of the parties' attorney or counsel
16 connected with the action, nor am I financially interested in
17 the action.

18 DATED THIS 6th day of May, 2002.

19 

20 _____
21 JANE FAUROT, RPR
22 Chief, Office of Hearing Reporter Services
23 FPSC Division of Commission Clerk and
24 Administrative Services
25