

BEFORE THE  
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of

PETITION TO DETERMINE NEED FOR DOCKET NO. 020262-EI  
AN ELECTRICAL POWER PLANT IN  
MARTIN COUNTY BY FLORIDA POWER &  
LIGHT COMPANY

PETITION TO DETERMINE NEED FOR DOCKET NO. 020263-EI  
AN ELECTRICAL POWER PLANT IN  
MANATEE COUNTY BY FLORIDA POWER &  
LIGHT.

ELECTRIC VERSIONS OF THIS TRANSCRIPT ARE  
A CONVENIENCE COPY ONLY AND ARE NOT  
THE OFFICIAL TRANSCRIPT OF THE HEARING,  
THE .PDF VERSION INCLUDES PREFILED TESTIMONY

VOLUME 4

PAGES 399 THROUGH 542

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LILA A. JABER  
COMMISSIONER J. TERRY DEASON  
COMMISSIONER BRAULIO L. BAEZ  
COMMISSIONER MICHAEL A. PALECKI  
COMMISSIONER RUDOLPH "RUDY" BRADLEY

DATE: Thursday, October 3, 2002

TIME: Commenced at 8:30 a.m.

PLACE: Betty Easley Conference Center  
Room 148  
4075 Esplanade Way  
Tallahassee, Florida

REPORTED BY: LINDA BOLES, RPR  
Official PSC Reporter  
(850) 413-6734

APPEARANCES: (As heretofore noted.)

DOCUMENT NUMBER DATE

FLORIDA PUBLIC SERVICE COMMISSION

10715 OCT-4 02

FPSC-00-HEARING CLERK

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

WITNESSES

NAME: PAGE NO.

STEVEN R. SIM

Continued Cross Examination by Mr. McGlothlin	402
Cross Examination by Mr. Twomey	430
Cross Examination by Mr. Harris	445
Redirect Examination by Mr. Guyton	479

LEONARDO GREEN

Direct Examination by Mr. Hill	497
Prefiled Direct Testimony Inserted	500
Cross Examination by Mr. Moyle	513
Cross Examination by Mr. McGlothlin	519
Cross Examination by Mr. Twomey	527
Cross Examination by Mr. Harris	538
Redirect Examination by Mr. Hill	540

CERTIFICATE OF REPORTER

542

## EXHIBITS

1			ID.	ADMTD.
2	NUMBER:			
3	16	Late-Filed Deposition Exhibit SRS-1	444	495
4	17	FPL's Response to Staff's 2nd Set of Interrogatories Numbers 5, 6 & 7	445	496
5	18	(Late-Filed)Martin and Manatee Data in the form of Confidential Filing C-1	468	
6	19	FPL's Response to Staff's 2nd Set of Interrogatories Number 35	496	541
7				
8	20	LEG-1 through LEG-8	499	541
9				
10	4			495
11				
12	12			495
13	13			495
14	14			495
15	15			495
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

## P R O C E E D I N G S

(Transcript continues in sequence from Volume 3.)

CHAIRMAN JABER: Good morning. We're going to go ahead and get started, get back on the record, Mr. McGlothlin. You were in the process of cross-examining Dr. Sim.

## CONTINUED CROSS EXAMINATION

BY MR. MCGLOTHLIN:

Q Dr. Sim, we were discussing the manner in which FPL modeled its self-build proposals in three elements, the fact that each of the units, Manatee 3 and Martin 8, was broken out into three pieces for purposes of modeling. Do you recall the conversation?

A Yes, I do.

Q And just to catch up for a second, those three pieces consisted of a peak-firing mode, a duct-firing mode and a base portion; is that correct?

A That's correct.

Q And I believe you said that they were, those pieces were linked, I think that was your expression. Do you recall that statement?

A I don't recall using that exact word, but I don't disagree. They were linked.

Q Because -- and by that, I understand you to mean that if any portion of the three pieces was included in the plan, all three were included in the plan; is that correct?

1           A     Yes. You couldn't select the 27-megawatt peak firing  
2 component alone; you had to select the entire unit.

3           Q     Now of the three pieces, the peak-firing mode had the  
4 lowest heat rate; is that correct?

5           A     That's correct.

6           Q     For purposes of dispatching the three pieces then,  
7 the peak-firing mode was dispatched ahead of anything else;  
8 correct?

9           A     Yes. Lower heat rate, it would have been dispatched  
10 ahead of the other pieces. But, again, with an availability of  
11 one percent, its impact on the total production cost would be  
12 negligible.

13          Q     In reality, it would be physically impossible to  
14 dispatch this peak portion unless the base portion was already  
15 in operation; isn't that correct?

16          A     That's correct.

17          Q     So in terms of the modeling, this peak portion would  
18 have to have a sort of out-of-body experience in order to go  
19 ahead of the base portion that was not in operation.

20          A     I don't know about out-of-body. But, again, what  
21 you're trying to do is approximate in your modeling the  
22 economics of the utility system and, in doing so, in carrying  
23 out the way that we did so, we believe that we modeled it as  
24 accurately as was possible.

25          Q     With this specific example though, the modeling

1 assumes something which was physically impossible in the real  
2 world, that is that there would be a peak firing portion in the  
3 absence of the base portion of which it was a part.

4 A Yes. But when looking on it at an annual basis,  
5 you're still capturing the correct amount of hours that the,  
6 each piece of the unit would be dispatched economically.

7 Q The correct number of hours. But in terms of the  
8 sequencing of this that and the order of the economic dispatch,  
9 that did not reflect the real world manner in which it would  
10 happen.

11 A Slightly different than the real world. But, again,  
12 I think it's important to consider what we're talking about  
13 here. We're talking about a 27-megawatt piece of unit, which,  
14 if we use the example yesterday of a 15-megawatt need being  
15 approximately one-tenth of one percent of our capacity, well,  
16 27 megawatts is, again, roughly about one-tenth of one percent  
17 with an availability of one percent. So we're talking about  
18 the total number of megawatt hours that would be affected of  
19 one one-thousandth of one percent or point -- I think it's  
20 .00001 -- would be the total contribution. So if it's being  
21 modeled inaccurately, as you might be trying to portray, the  
22 impact is negligible.

23 Q Yesterday references were made to a late-filed  
24 exhibit, deposition exhibit to your -- that you prepared. And  
25 I can't recall whether that was identified at the time.

1 CHAIRMAN JABER: It was not.

2 MR. McGLOTHLIN: Okay.

3 BY MR. McGLOTHLIN:

4 Q Dr. Sim, yesterday in discussing the choice to use  
5 EGEAS as opposed to an hourly production costing simulation  
6 model for the last round of comparisons, you stated that  
7 because this is a 30-year plan there would be little value in  
8 using a more precise model during those out years. Am I, am I  
9 summarizing your statement fairly?

10 A Essentially correct. My opinion is that the  
11 difference in the plans that we saw was not driven and could  
12 not be driven by production costing simply because we're  
13 dealing with the same type of units, virtually the same heat  
14 rates for all the units, all using the same fuel and the same  
15 fuel forecast.

16 So regardless of which production costing model tool  
17 that's used, the production costing is not going to make a  
18 difference, a significant difference in the results, especially  
19 when you consider that the FPL units are coming in with lower  
20 heat rates than their closest competitors in those plants.

21 Q In his testimony Mr. Silva said it's important to  
22 capture all costs, including indirect costs associated with the  
23 comparison. Do you recall that statement?

24 A Yes. I believe he made that statement.

25 Q And those indirect costs would include production

1 costs; is that correct?

2 A I'm sorry. Direct or indirect you said?

3 Q Yes. Directly or indirectly production costs are  
4 among those that were within his statement; is that correct?

5 A Oh, yes.

6 Q And those production costs include, include system  
7 fuel costs?

8 A Yes.

9 Q I only have one copy of your late-filed deposition  
10 exhibit. I want to hand it to you just for the purpose of  
11 asking the next question.

12 A I have a copy in front of me, if that will help.

13 CHAIRMAN JABER: Mr. McGlothlin, which one is that,  
14 please?

15 MR. MCGLOTHLIN: It hasn't been identified to this  
16 point. It was referred to yesterday. This is styled as  
17 Late-Filed Exhibit SRS-1 to the deposition of Dr. Sim. And  
18 unfortunately I don't have additional copies, but I think I'm  
19 going to ask the witness simply to read several numbers that I  
20 think would frame the next question.

21 CHAIRMAN JABER: Okay.

22 MR. HARRIS: Madam Chairman, we had planned to pass  
23 that out as an exhibit for staff. If it would be helpful, we  
24 could pass it out now so everybody would have a copy.

25 CHAIRMAN JABER: No. I don't need that kind of help.



1 Thank you though.

2 Mr. McGlothlin, go ahead and show the witness.

3 BY MR. MCGLOTHLIN:

4 Q Dr. Sim, I'll refer you to the late-filed exhibit,  
5 Page 2 of 4, if you have that available to you.

6 A Yes.

7 Q Column 7 shows -- it is captioned System Net Fuel In  
8 Millions, and that's displayed there for the years 2001 through  
9 2030; is that correct?

10 A That's correct.

11 Q And that's the 30-year period of analysis that EGEAS  
12 examined; is that correct?

13 A Correct.

14 Q Looking at the years 2001 through 2010 and the  
15 entries for system net fuel in millions, is it correct that  
16 when one looks at the first ten years, in order of magnitude  
17 we're talking about \$25 to \$30 billion?

18 A Are you referring to a sum of those individual years?

19 Q I am.

20 A I haven't done the arithmetic, but you're talking of  
21 something over \$2 billion each year for ten years. So, subject  
22 to check, 25 seems reasonable.

23 Q Okay. So within the first ten years of the 30-year  
24 period, according to EGEAS, EGEAS examining, is examining the  
25 impacts of proposals on \$25 to \$30 billion of fuel cost.

1           Now yesterday in the example you gave the difference  
2 between the two proposals, including capital costs and other  
3 components, excluding only the equity penalty, was \$2 million;  
4 is that correct?

5           A     I disagree with the beginning premise of your line of  
6 questions. I believe you stated that EGEAS is examining the  
7 production cost difference due to the proposals for the first  
8 ten years shown on this page and that equals \$25 billion.

9           The proposals do not impact year 2001, 2002, 2003 and  
10 2004 because they're not assumed to come on the system until  
11 2005. So, therefore, those years are not impacted by the, by  
12 the outside proposals or by the FPL unit.

13          Q     I accept your correction. So let's look at the years  
14 2005 through 2015. Is it true that in 2015, that year alone,  
15 the fuel costs system wide are \$3.4 billion?

16          A     Yes.

17          Q     So, if anything, because in future years the system  
18 fuel costs increase, that \$25 billion figure is, is on the low  
19 side.

20          A     Not in terms of net present value numbers.

21          Q     All right. Well, let's just use the 25 -- is  
22 \$25 billion still a fair representation of the first ten years  
23 of analysis then?

24          A     For nominal, in nominal dollars, yes.

25          Q     Okay. So as corrected it remains a fact that within

1 the first ten years of analysis EGEAS or whatever model you're  
2 looking at or whatever model you're using is examining the  
3 relative impacts of proposals on a \$25 billion universe;  
4 correct?

5 A Yes.

6 Q Now how many combined cycle units does FPL have on  
7 its system?

8 A Roughly a half dozen.

9 Q And what is the operating range of each of those  
10 combined cycle units?

11 A Would you define "operating range," please?

12 Q Yes. The range within which -- above its minimum  
13 operating conditions and its maximum operating capacity.

14 A I, I don't know that information. Mr. Yaeger might  
15 be the more appropriate witness to ask that.

16 Q But in the real world, you agreed yesterday that the  
17 output of a combined cycle unit varies within the  
18 minimum/maximum conditions according to economic decisions on  
19 an hourly basis?

20 A Could you repeat the question, please?

21 Q Yes. I believe you agreed yesterday that in the real  
22 world the way the operator operates a physical system, a  
23 combined cycle unit, the output of a combined cycle unit varies  
24 over time depending on economic conditions.

25 A Yes. I think that's safe to say.

1 Q Whereas in the EGEAS modeling the maximum capacity of  
2 the combined cycle unit was either all in or all out; correct?

3 A That's correct.

4 Q And isn't it also true that in the real world on a  
5 daily or nightly basis operators examine whether to leave a  
6 combined cycle unit on or shut it down overnight based on the  
7 economic conditions at the time?

8 A That's true. But it's my understanding on the FPL  
9 system that the combined cycles operate essentially in a base  
10 load manner around the clock primarily.

11 Q But there may be conditions when it's economic to  
12 shut them down?

13 A Certainly there may be certain circumstances. But  
14 for the majority of the time those units are on.

15 Q And a production costing simulation model would  
16 examine these, these economic criteria on an hourly basis for  
17 each of the units for each of the years of the analysis;  
18 correct?

19 A Yes, it would do that.

20 Q Okay. My question is, given that within the first  
21 ten years the system fuel cost being impacted is \$25 billion  
22 and given that in the example you gave yesterday the difference  
23 between the two proposals you looked at, excluding equity  
24 penalty, was only \$2 million, would you agree that it isn't  
25 necessary to go 30 years before the size of the universe of

1 dollars being impacted warrants enough, enough precision to  
2 determine whether a more accurate model would indicate a swing  
3 of \$2 million or more?

4 A No, I disagree with your question, the premise of  
5 your question. I think you're mixing net present value numbers  
6 and nominal numbers.

7 We talked about for ten years the total fuel cost on  
8 the system is \$25 billion. What I said yesterday in my example  
9 was you would have to have a production cost difference of  
10 \$250 million based on one, essentially the difference in one  
11 unit in each plan alone out of a production costing model.

12 And since you're starting the, the, this hypothetical  
13 analysis with another production costing model with the plan  
14 that already has a \$250 million advantage and its unit has a  
15 lower heat rate, I don't see any way you're going to get a  
16 production costing model to make up that ground.

17 Q Yes. And by the \$250 million, you are including the  
18 equity penalty; correct?

19 A Which is a real cost and which should be included.

20 Q And my question, understanding your position, but  
21 also understanding that the use of the equity penalty is in  
22 dispute in this case, the question is whether the \$2 million  
23 differential would warrant a more refined modeling to determine  
24 whether the, on a more precise basis the difference remained?

25 A And in my opinion, no, it would not.

1 Q Dr. Sim, yesterday you said that you were not  
2 familiar with, with the characteristics or capabilities of  
3 POWERSYM. You also said that you haven't personally run EGEAS  
4 in something, in several years; is that correct?

5 A That's correct.

6 Q Who made the decision to use EGEAS and not something  
7 else?

8 A Is the question in regard to this RFP analysis?

9 Q Yes.

10 A Okay. I think it was a forgone conclusion to use the  
11 EGEAS model. It was not even considered once we had settled on  
12 the type of analysis plan that we were going to, to follow that  
13 EGEAS was, was or was not an appropriate model. It was the  
14 appropriate model because it's what we use for all of our  
15 resource planning decisions.

16 Q But somebody had to decide. Who was it? Was that  
17 your responsibility?

18 A If you want to put somebody's name in front of that  
19 responsibility, I'll gladly accept it, yes.

20 Q Who did the actual modeling?

21 A The actual modeling was done by one of my co-workers.

22 Q Who is?

23 A Daisy Iglesias.

24 Q May I have a moment in place?

25 I have several questions on Exhibit 9 that I believe

1 are within your responsibility. One of the entries there is  
2 for higher transmission integration costs at \$24 million. And  
3 that was also referenced in your late-filed exhibit, was it  
4 not?

5 A That's correct. Mr. McGlothlin, I don't have a copy  
6 of Exhibit 9. If you would be kind enough.

7 MR. MCGLOTHLIN: Counsel, do you have one?

8 MR. GUYTON: Yes, I do.

9 MR. MCGLOTHLIN: Thank you.

10 THE WITNESS: Thank you.

11 BY MR. MCGLOTHLIN:

12 Q Do you have that in front of you now?

13 A Yes, sir.

14 Q I'm referring to the higher transmission integration  
15 cost line entry item of \$24 million. As I understand it, the  
16 rationale for including \$24 million here is that because of  
17 constraints in moving power from the west to the east.

18 If Manatee is built -- well, let's back up.

19 Relative to each other, Manatee is west of Martin; is  
20 that correct?

21 A Yes. Manatee is west of Martin.

22 Q If Manatee is built prior to the in-service date of  
23 Martin, that has an impact on the ability of the system to  
24 transport power west to east such that upgrades are called for  
25 that would cost \$24 million; is that correct?

1           A     Commissioners, I'm not a transmission planner.  
2     Mr. Stillwagon is the one who developed this, this estimate,  
3     and he would probably be the more appropriate witness.

4                     My extremely limited knowledge of this is that to  
5     build one of the units without the other, one on the west coast  
6     and nothing balancing it on the east coast, does result in an  
7     imbalance and, therefore, transmission expenditure are needed  
8     in order to upgrade the system. But that's the extent of my  
9     knowledge on this.

10           Q     Well, that may serve the purpose for the questions I  
11     have.

12                     Do I understand correctly that if Manatee and Martin  
13     come on-line in the same year, the impact of Martin on the  
14     system is such that that \$24 million is an unnecessary  
15     expenditure?

16           A     I think, I think the answer is yes, with, again, my  
17     fairly limited understanding of I've seen transmission  
18     integration cost calculations where both units are in there and  
19     it, they're \$24 million less than if you just build the one  
20     unit.

21           Q     Less than if you build Manatee alone?

22           A     Than if you build Manatee alone and wait a year  
23     before you build a comparable amount of capacity comparable to  
24     Martin on the east coast.

25           Q     I think we're saying the same thing. As I understand



1 it, if, if the east side of the equation is balanced in some  
2 manner such as the addition of Martin 6, then that has the  
3 effect of offsetting the, the impact of the west coast addition  
4 such that this \$24 million is not necessary to be spent; is  
5 that correct?

6 A If I understand your question correctly, if you have  
7 an imbalance as was depicted in this example, the cost is  
8 \$24 million higher for integration. Yes.

9 Q Now one of the scenarios we've discussed is the  
10 possibility of building Manatee in 2005 and Martin in 2006; is  
11 that right?

12 A I think the issue has come up. It was never a plan  
13 that was considered until we received a request for a  
14 late-filed exhibit from the staff.

15 Q Fair enough. But that's the scenario of your  
16 late-filed deposition exhibit. It's also the scenario of  
17 Exhibit 9; correct?

18 A I don't believe so. I believe Exhibit 9 is talking  
19 about not a delay of one year in the Martin Unit but a plan in  
20 which the Martin Unit is simply not built. That's my  
21 understanding of Exhibit 9. I didn't create Exhibit 9.

22 CHAIRMAN JABER: Did you say Mr. Stillwagon created  
23 Exhibit 9?

24 THE WITNESS: No. I believe Mr. Silva created  
25 Exhibit 9.

1 CHAIRMAN JABER: Silva?

2 THE WITNESS: Yes.

3 CHAIRMAN JABER: And what was it -- I could have  
4 sworn you said that Mr. Stillwagon developed something on this  
5 exhibit; right? Was it just --

6 THE WITNESS: The \$24 million transmission  
7 integration cost estimate, Madam Chairman.

8 CHAIRMAN JABER: Thank you.

9 BY MR. MCGLOTHLIN:

10 Q And the \$24 million was included by you in your  
11 late-filed deposition exhibit as a component of that  
12 calculation, was it not?

13 A That's correct.

14 Q Assume that Manatee 3 comes on-line in 2005 and that  
15 Martin 8 comes on-line in 2006. At that point has the balance  
16 that offsets the need for transmission upgrades been achieved  
17 such that there's no longer the inability to transport power  
18 within the system?

19 A I'm sorry. Can you repeat, please?

20 Q All right. Let me rephrase.

21 I believe we established, as far as you understand  
22 it, that if both Manatee 3 and Martin, Martin 8 are on-line,  
23 Martin 8 has the, has the effect of obviating the need for the  
24 transmission grades in the amount of \$24 million; correct?

25 A If they're built in the same year.

1 Q All right. If Martin 8 comes on one year later, it  
2 would have that same impact on the system, would it not?

3 A In terms of dollars, there's a \$24 million net  
4 present value difference between the, between those two plans.  
5 But I can't state that the situation is analogous because in  
6 2006 other things are happening. It's not simply -- going back  
7 to your first case where you build Martin and Manatee in the  
8 same year, if you take the Martin Unit out, you've got an  
9 imbalance. In 2006, the, all the other underlying assumptions  
10 as to what's happening throughout the system will have changed.  
11 So I'm not sure you can tie back any particular impact to  
12 simply the Martin Unit in that, in that year.

13 Q What else would have changed in one year that would  
14 --

15 A I don't know. I don't -- I'm not familiar with the  
16 transmission planning database. Mr. Stillwagon, I'm sure,  
17 could tell you.

18 Q All right. I'll pose that question to him.

19 But as far as you know, the addition of Martin  
20 8 renders unnecessary this transmission integration cost of  
21 \$24 million?

22 A That's my understanding, yes.

23 Q And you don't know if Martin 8 comes on a year later  
24 there are other things going on that would make that answer  
25 different?

1           A     I don't know what's happening in the database in  
2 2006 in your example.

3           Q     All right.

4           A     In your hypothetical example.

5           Q     Assume for the moment that all, holding everything  
6 else equal, you've got Martin 8 coming on in 2005 in one  
7 scenario, Martin 8 coming on in 2006 in the other scenario, and  
8 all other things being equal, Martin 8 would have the impact of  
9 rendering unnecessary this transmission upgrade; correct?

10           MR. GUYTON:  Objection.  I think you just asked him  
11 to assume a hypothetical and then asked him if it was correct.  
12 And I don't know how -- I object to the form of the question.  
13 I don't know how the witness can answer -- I think he can say  
14 he accepts the hypothetical, but I don't know that he can say  
15 that it's correct.

16           CHAIRMAN JABER:  Mr. McGlothlin, do you want to just  
17 turn it into two questions?

18           BY MR. MCGLOTHLIN:

19           Q     First, I'll ask you to accept the hypothetical that  
20 we're holding other things constant.  And holding other things  
21 constant, as you understand it, would the addition of Martin  
22 8 in 2006 have the effect of obviating the need for the  
23 transmission upgrades necessary to transport power west to  
24 east?

25           A     It would certainly better balance the system as

1 opposed to not building Martin at all.

2 Q And under my assumptions, would obviate the need for  
3 the \$24 million upgrade?

4 A Not if you faced transmission problems for the  
5 intervening year which are requiring you to build the  
6 \$24 million worth of upgrades.

7 Q Yes, sir. And that wasn't --

8 A Your -- you seem to be, in your question, jumping,  
9 skipping that year and ignoring any impact on the system that  
10 might incur in that one year.

11 Q Okay. But if Martin 8 has that effect, then we're  
12 talking about a one-year transmission constraint problem, are  
13 we not?

14 A Essentially, yes.

15 Q And is it possible that if we're looking at this as a  
16 one-year problem as opposed to a permanent problem, there may  
17 be ways to accommodate that that cost less than \$24 million?

18 A There may be. But in the form of the analysis that  
19 Mr. Stillwagon carried out there clearly was not a less  
20 expensive way to do it. I'm sure he conducted his analyses  
21 keeping consistent assumptions and consistent constraints in  
22 the analysis. And by not building the unit in 2005, the cost  
23 that jumped up was \$24 million.

24 COMMISSIONER DEASON: Let me ask a question at this  
25 point.

1           If you did not have the transmission integration  
2 upgrade or whatever terminology you want to use, would that  
3 affect the dispatchability of the one unit that was built in  
4 2005?

5           THE WITNESS: It's possible, Commissioner. I don't  
6 know exactly what problem cropped up in Mr. Stillwagon's  
7 analyses, the nature of that problem that drove them to say you  
8 need this upgrade and it's going to cost \$24 million. I don't  
9 know if it would impact the dispatch of the unit or not because  
10 I don't know the nature of the problem.

11           COMMISSIONER DEASON: Would Mr. Stillwagon, would Mr.  
12 Stillwagon know that or --

13           THE WITNESS: Yes, sir, I believe he would.

14           CHAIRMAN JABER: Mr. McGlothlin, if you're asking a  
15 lot of these questions because of the outstanding objection  
16 related to Exhibit 9, let me tell you that I've decided not to  
17 rule on the admission of Exhibit 9 until after Mr. Stillwagon  
18 testifies.

19           MR. McGLOTHLIN: Thank you.

20           CHAIRMAN JABER: So in an effort to move this along.

21           MR. McGLOTHLIN: All right. I'm about to change  
22 subjects.

23 BY MR. McGLOTHLIN:

24           Q     Yesterday, Dr. Sim, in response to one of my  
25 questions you made the observation, absent constraints, your,

1 your, the answer is yes. And you elaborated to me that by  
2 constraints, you meant such things as environmental conditions  
3 or limitations as well as transmission constraints. Do you  
4 recall that question and answer?

5 A Yes.

6 Q And this entry for \$24 million of integration costs  
7 is an example of a transmission constraint, is it not?

8 A It's an example of a transmission cost.

9 Q A transmission cost designed to overcome or deal with  
10 a constraint that would otherwise be in place?

11 A I think you're using constraint in a different, in a  
12 different manner than I was understanding your question  
13 yesterday.

14 Q Well, we've discussed the fact that there are  
15 problems in moving power west to east because of limitations of  
16 the transmission system. Isn't that an example of a  
17 constraint?

18 A I don't know if it's a constraint or if it's a  
19 problem. It may be a constraint only in certain limited  
20 circumstances. But, again, since I didn't do the transmission  
21 planning calculation, I don't know what problems cropped up  
22 that caused them to calculate that an upgrade was needed.

23 Again, Mr. Stillwagon is the appropriate witness to  
24 ask that type of question to, I believe.

25 Q Yes, sir. But you and the people who work for you

1 had the job of modeling the system in conducting the  
2 evaluations of proposals, and you said yesterday that it's  
3 important to take constraints into account.

4 Now assuming that -- looking at the scenario in which  
5 both Manatee 3 and Martin 8 come on-line in 2005, there will be  
6 times when Martin 8 is down for maintenance or for other  
7 reasons; correct?

8 A All units have to come down for maintenance  
9 eventually, yes.

10 Q And when Martin 8 is down, it no longer has this  
11 balancing effect that, that has, takes care of this  
12 transmission upgrade requirement; correct?

13 A I'm sorry. Repeat again, please.

14 Q Yes. When Martin 8 is down for whatever reason, it  
15 is no longer having this balancing effect that offsets the need  
16 for transmission upgrades.

17 A I'm not sure I can agree with you because I don't,  
18 again, I don't know what condition, what or how often the  
19 condition would exist that would cause this imbalance, as you  
20 call it, to create the need for this transmission upgrade. Is  
21 this something that, that we see a problem with a great number  
22 of hours during the year or does it only occur on a certain  
23 small set of circumstances or small number of hours? In which  
24 case if you take a unit down and the vast majority of the time  
25 that would not create a problem, then I don't, I don't agree



1 with your premise.

2 Q Okay. Well, if it occurs only in a small number of  
3 hours and is no big deal, would you spend \$24 million to take  
4 care of it?

5 A Again, that would depend upon the set of assumptions  
6 and the set of consistent constraints that were put in when  
7 they did the transmission integration cost. I'm sure they  
8 tried to evaluate for all of the expansion plans a calculation  
9 that would be as consistent as possible across all of them.

10 Q For purposes of modeling the system, you did not  
11 incorporate anything in the EGEAS models to take into account  
12 this limitation on moving power west to east that led  
13 Mr. Stillwagon to conclude the need for a \$24 million upgrade?

14 A The EGEAS calculation did not include that sort of  
15 calculation, that's correct, because the transmission  
16 integration cost calculation was supposed to address such  
17 concerns.

18 Q Would you repeat that last statement?

19 A Because the transmission integration cost  
20 calculations were supposed to address each of the calculations  
21 in a consistent manner.

22 Q Well, again, the scenario we're looking at is Manatee  
23 3 and Martin 8 in service in the same year. And in that  
24 scenario, the transmission integration situation was that no  
25 upgrades would be necessary; correct?

1           A     No, I don't believe that's correct. There were  
2 transmission integration costs that were calculated for the  
3 Martin and Manatee in 2005 plan.

4           Q     Okay. This particular \$24 million expenditure was  
5 not included in that scenario.

6           A     That's correct.

7           Q     So whenever Martin 8 is down, the limitation exists.

8           A     I can't agree with that.

9           Q     Because you don't know?

10          A     Because I don't know.

11          Q     Okay. In any event, you didn't model any constraint.

12          A     We didn't model any transmission constraints.

13          Q     In your last answer was, were you saying that you did  
14 not model transmission constraints in general?

15          A     That's correct.

16          Q     Now one of the entries on Exhibit 9 is for lower  
17 capital and O&M costs for five months due to the revenue  
18 sharing rate settlement, \$20.1 million. To whom should I talk  
19 about that?

20          A     I'm afraid he's come and gone. Mr. Silva was the one  
21 who put this exhibit together.

22                CHAIRMAN JABER: But did Mr. Silva actually make that  
23 calculation? Do you know?

24                THE WITNESS: I don't know for certain.

25                CHAIRMAN JABER: Mr. Guyton, can you answer that

1 question? Because during Mr. Silva's testimony I thought some  
2 of the calculations he referred to other folks. Do you recall  
3 who calculated the \$20.1 million amount?

4 MR. GUYTON: My notes on that, Commissioner, don't  
5 address that particular line item. I have notes for  
6 Mr. Stillwagon for the \$24 million, and the \$55 million was  
7 taken from Dr. Sim's late-filed exhibit, as was the  
8 \$16 million. I simply don't have a note --

9 CHAIRMAN JABER: Maybe you can find out during the  
10 next break.

11 MR. GUYTON: Yes.

12 CHAIRMAN JABER: Thank you.

13 MR. McGLOTHLIN: Since this proposed exhibit refers  
14 to the revenue sharing rate settlement, Counsel, do you object  
15 to the Commission taking official recognition of the order that  
16 implemented that stipulation?

17 MR. GUYTON: I'm sorry, Joe. I was making a point  
18 and I didn't hear the first part.

19 Are you asking if we have an objection to the  
20 Commission taking official recognition of the rate settlement  
21 agreement?

22 MR. McGLOTHLIN: Correct.

23 MR. GUYTON: No.

24 MR. McGLOTHLIN: I'd ask the Commission to take  
25 official recognition of that order, which is Order

1 PSC-020501-AS-EI, April 11th, 2002.

2 CHAIRMAN JABER: It's granted.

3 BY MR. McGLOTHLIN:

4 Q Dr. Sim, I'm going to first read a paragraph from  
5 that rate settlement order and then ask a question to be  
6 answered, if you know.

7 This is paragraph eight of the rate settlement order.  
8 "If FPL's retail base rate earnings fall below a ten percent  
9 return on equity as reported on an FPSC adjusted or pro forma  
10 basis on an FPL monthly earning surveillance report during the  
11 term of this stipulation and settlement, FPL may petition the  
12 FPSC to amend its base rates, notwithstanding the provisions of  
13 Section V. Parties to this stipulation and settlement are not  
14 precluded from participating in such proceeding. This  
15 stipulation and settlement shall terminate upon the effective  
16 date of any final order issued in such proceeding that changes  
17 FPL's base rates.?"

18 Dr. Sim, if you know, does this \$20.1 million line  
19 entry alter in any way the ability of FPL to seek to increase  
20 its base rates if its return on equity falls below ten percent?

21 A I have no idea.

22 Q One of the line items is \$16 million called the added  
23 cost of building Manatee 3 alone compared to the FPL plan.

24 Did you prepare that analysis?

25 A It was part of our EGEAS analysis, yes.

1 Q Well, part of your EGEAS analysis. Does that mean it  
2 was simply plugged in or did you develop the \$16 million  
3 figure?

4 A The, the origin of the \$16 million value,  
5 Commissioners, was originally provided to us by our Power  
6 Generation Division. We asked them is there a cost of building  
7 simply one of the two units, the Martin and Manatee units,  
8 because we had posted the cost in the supplemental RFP for  
9 building both units.

10 We then asked them, since some of the plans we are  
11 coming up with are selecting one of the units, either Manatee  
12 or Martin, and pairing them with outside proposals, is there an  
13 additional cost of building only one of the units? In other  
14 words, there may be shared savings between building both of the  
15 units and those shared savings would go away.

16 They provided us a, a cost of approximately 14 to --  
17 \$14 million for building one of the units, \$15 million for  
18 building the other unit. We adjusted it for AFUDC and revenue  
19 requirements and came up with \$16 million in case the Martin  
20 Unit is not built. It adds \$16 million of cost for the Manatee  
21 Unit for forgone cost sharing or cost savings. So that's the,  
22 the genesis of that number.

23 Q So other than the AFUDC calculation, the results of  
24 your request were simply provided to you by another department?

25 A That's correct. The same department that provided us

1 the original cost for building Martin and Manatee together.

2 Q Is that analysis anywhere in the company's case in  
3 chief?

4 A The analysis of the original estimate that was  
5 provided to us for the extra cost of building only one unit?

6 Q Yes.

7 A I haven't seen every document that every department  
8 in the company has provided, so I'm afraid I can't answer that  
9 question.

10 Q How far apart are the Manatee and Martin sites?

11 A Are you talking geographically?

12 Q Yes.

13 A I don't know. Ballpark, 100, 200 miles maybe.

14 Q Do you know what was assumed by the persons who  
15 developed this figure in terms of whether one company or two  
16 would be doing the work, one crew or two would be doing the  
17 work? What were the assumptions?

18 A I don't know the answer to that question. Mr. Yeager  
19 would be the appropriate witness for that.

20 Q All right. You were involved in the, in the first or  
21 original RFP process?

22 A Yes. What we've been calling the initial RFP. I was  
23 involved.

24 Q Whose decision was it to go forward with the  
25 supplemental RFP?

1           A     I don't know there was any one individual that  
2 decided. I was simply told we're, we're going to have this fun  
3 all over again. But I'm not sure who at the company decided  
4 definitively that we would proceed that way.

5           Q     Well, whose, whose responsibility would it have been  
6 either to make the decision or to approve the decision?

7           A     Upper management would have, would have certainly  
8 made that decision.

9           Q     Is that Mr. Evanson or someone else?

10          A     I would imagine it would have been Mr. Evanson,  
11 probably after consulting with a number of, of his peers in  
12 upper management at FPL.

13          Q     If, if FPL encountered a situation where it could not  
14 meet its firm customers' requirements with its own generation,  
15 would FPL attempt to purchase power so that the firm customer  
16 continues to receive service?

17          A     I believe this is a question you asked me in  
18 deposition, and I had trouble then trying to grasp the, I  
19 guess, the circumstances of the question.

20                    Are you talking about a one-time only one hour  
21 interruption, are you talking about a repeated series of  
22 interruptions over an extended time? If you could help me  
23 there, perhaps I can answer your question.

24          Q     Let's take them one at a time. Let's say there's a  
25 short-term problem that absent some other action would prevent

1 FPL from serving its firm customers. Would FPL undertake to  
2 purchase power outside its own resources to keep service to the  
3 firm customer?

4 A This is assuming we've dispatched all of the load  
5 management, load control that's available on our system?

6 Q That's correct.

7 A I would assume at that point if there were short-term  
8 purchases to be made on the market, we would attempt to  
9 purchase them rather than interrupt firm customers.

10 MR. McGLOTHLIN: I have no further questions.

11 CHAIRMAN JABER: Thank you, Mr. McGlothlin.

12 MR. PERRY: No questions, Madam Chairman.

13 CHAIRMAN JABER: Thank you. Mr. Twomey?

14 MR. TWOMEY: Yes, ma'am. Thank you.

15 CROSS EXAMINATION

16 BY MR. TWOMEY:

17 Q Good morning, Dr. Sim.

18 A Good morning.

19 Q Now as I understand it from your attorney's opening  
20 statement and from Mr. Silva's testimony, Florida Power & Light  
21 thinks it highly important that it fully comply with the  
22 20 percent reserve margin stipulation that was accepted by the  
23 Commission; is that correct?

24 A That's correct.

25 Q Okay. The current projected reserve margin for the



1 summer peak of 2005 is some 19.92 or 19.94 percent; is that  
2 correct?

3 A No, I don't believe that's correct. The, the correct  
4 percentage is over 20 percent with the assumption that the most  
5 cost-effective plan is implemented, which is Martin and Manatee  
6 in 2005.

7 Q I'm sorry, the -- what I meant to say was isn't it  
8 correct that the, if you assume the construction and operation  
9 of the Manatee Units, that the reserve margin Summer 2005 will  
10 be somewhere in the order of 19.9 something percent?

11 A Of building Manatee only without the Martin?

12 Q Only Manatee. Yes, sir.

13 A Yes. I believe the reserve margin would drop to  
14 19.91 or 92.

15 Q Okay. Can we use 19.92?

16 A Close enough.

17 Q Okay. Because we are dealing in hundredths of  
18 percentage points; right?

19 A We're dealing in hundredths of percentage points  
20 which are below the reliability criterion of 20.0. That's  
21 correct.

22 Q Let me ask you there, would you concede that the,  
23 the, that reliability criteria, if you want to call it that,  
24 has virtually no consequential bearing on your ability to meet  
25 your load at that time?

1           A     I would say from a strict operational standpoint  
2 15 megawatts is highly unlikely to cause us to not be able to  
3 serve load.

4           Q     Right. Because your, your -- isn't it correct that  
5 your current reserve margin is on the order of, of 15 percent?

6           A     No. It's higher than that. It's closer to  
7 20 percent.

8           Q     Currently it's 20 percent?

9           A     Yes. In fact, I think it's over 20 percent.

10          Q     Historical its been as low as 15 percent or lower; is  
11 that not correct?

12          A     We have traditionally over the last decade or so  
13 built to a 15-percent reserve margin. But once we entered into  
14 the stipulation with the Commission for 20.0 percent we have  
15 endeavored to achieve ahead of time the 20.0 percent.

16          Q     Yes, sir. But you've managed historically, have you  
17 not, to meet your load when you built to 15 percent?

18          A     We have done the best job we could possibly do, yes.

19               CHAIRMAN JABER: Mr. -- Dr. Sim.

20               THE WITNESS: Yes.

21               CHAIRMAN JABER: Yes or no answers, please.

22               THE WITNESS: Yes, Madam Chairman.

23               CHAIRMAN JABER: Mr. Twomey, ask your question again.

24 BY MR. TWOMEY:

25          Q     So would the last question, answer be yes?

1 A Yes.

2 Q Okay. Thank you. Now -- so the -- as I understand  
3 it, the shortfall necessary to reach 20.00 percent, assuming  
4 the operation of the 1,107-megawatt Manatee Unit at June 1st,  
5 2005, is 15 megawatts; correct?

6 A Yes.

7 MR. GUYTON: Asked and answered.

8 BY MR. TWOMEY:

9 Q The -- would you refer to your Exhibit SRS-1, please?

10 A In the direct testimony?

11 Q Yes, sir. Okay. This depicts, does it not, your  
12 projection of FPL's summer and winter peak demands for the  
13 years 2005 and 2006 without any capacity additions in those  
14 years? Isn't that what the title says?

15 A It's a projection not of our peaks but of our  
16 capacity needs, yes.

17 Q I'm sorry. Okay. As I understand your system, Dr.  
18 Sim, your capacity, your peak capacity needs are driven by peak  
19 demand, not your LOLP; is that correct?

20 A Well, they are related. In terms of what's shown on  
21 this page, reserve margin, what drives it is our peak demand  
22 minus our DSM megawatt amount for that season. In this case we  
23 have summer and winter.

24 Q Yes, sir.

25 A So it would be our peak demand for, peak demand

1 forecast for summer minus the projected load management and  
2 conservation impacts to give you a net firm peak.

3 Q Yes, sir. But more specifically isn't it, isn't it  
4 the summer peak that drives your capacity needs, not the winter  
5 peak?

6 A Currently that is correct.

7 Q Okay. Now the -- on SRS-1 then, it is at the top  
8 part of the exhibit for 2005, that line that shows the  
9 development of what your reserve margin will be for the summer  
10 absent the, the addition of any new capacity in those years,  
11 right, and that's the 14.1 percent; right?

12 A Yes.

13 Q At Column 8. And then the calculation at Column  
14 9 shows that you need 1,122 megawatts to reach 20.0 percent;  
15 correct?

16 A That's correct.

17 Q Okay. Now that number -- those two numbers in turn  
18 are dependent upon all the, all the numbers in the columns to  
19 the left; correct?

20 A Yes. It's a calculation that's depending upon the  
21 numbers that came before it.

22 Q Right. Now if you'll look at Column 3 for the year  
23 2005, the column that's titled Projection Of Total Capacity In  
24 Megawatts. Do you see that?

25 A Yes, sir.

1 Q Okay. Is that, if you know, is that based upon the  
2 name plate ratings of the units available to you, whether  
3 native or third party, or is it some type of a net demonstrated  
4 performance rating?

5 A It's the projected peak output of each unit.

6 Q Okay. So that, that, in a sense, is, is a factual  
7 number as opposed to being projection?

8 A No. It is a projection because we are projecting for  
9 the capability of our units on that line for 2005. We don't  
10 know for certain in 2005 whether it'll be higher than that,  
11 whether it'll be lower, whether it'll be right on the money.  
12 It is a projection.

13 Q Okay. So if it was -- if it turned out to be higher,  
14 then the number of megawatts you needed to reach 20.0 would be  
15 less; is that correct?

16 A Assuming nothing else in that calculation changed,  
17 that would be correct. However, if the peak load forecast were  
18 higher or the DSM forecast were lower, you might need more  
19 megawatts.

20 Q Okay. Now the next column, 4, peak load forecast,  
21 20,719 megawatts; correct?

22 A Yes.

23 Q Okay. Now then you subtract from that Column 5,  
24 which is your demand side management; right?

25 A Yes.

1 Q Okay. Which gives you what you -- Column 6.

2 The peak load forecast in Column 4, Dr. Sim, is a  
3 projection, is it not?

4 A Yes. The forecast is a projection.

5 Q Okay. Do you have a copy -- do you have the volume  
6 to the Need Study that has Appendices E through J?

7 A Not with me, no.

8 MR. TWOMEY: Could you supply that, Counsel? And  
9 actually you'll need -- I'd like to ask him to look later at  
10 the volume, at the preceding volume that has Appendices A  
11 through D.

12 BY MR. TWOMEY:

13 Q If you'd turn to Page E-44, Dr. Sim.

14 A Yes, sir.

15 Q Okay. The -- we find, do we not, the  
16 20,719 megawatts from Column 4 of your SRS exhibit in Column  
17 2 at the line for 2005; is that correct?

18 A On Page E-44, yes.

19 Q Okay. Now I've got a question -- and, again, that is  
20 a forecast and it's a forecast that is arrived at by using  
21 certain modeling techniques that you described earlier, that  
22 are described earlier in, in the, this same document, is that  
23 correct, an econometric type --

24 A In the Need, in the Need Study document, yes, that is  
25 discussed.

1 Q Okay. Now on that page, E-44, I have a question.  
2 When you go down to the last note, it says projected values  
3 2002 to 2011, do you see that?

4 A Oh, the footnote at the bottom.

5 Q Yes, sir. The projected values 2002 to 2011. The,  
6 the first sentence says, "Columns 2 and 4 represent FPL's  
7 forecasted peak without incremental conservation or cumulative  
8 load control." What does that mean?

9 A It means the forecast is developed without  
10 incorporating the impact of any future conservation measures we  
11 may put on the system or without implementing any load control  
12 capability we have.

13 Q Okay. If you were to implement load control in any  
14 of those years, if it were required, that would have the effect  
15 of, of reducing the number in those columns; is that correct?

16 A I'm sorry. It would reduce the numbers in which  
17 columns?

18 Q The Columns 2 and 4 which it refers to.

19 A No, not as I understand your question. Because the  
20 intent of Column 2 is to create a forecast that is completely  
21 independent of any incremental conservation or the  
22 implementation of load control.

23 We take the load control and conservation into  
24 account by not creating Column 2, but in creating Column 10,  
25 the net firm demand.

1 Q Yes, sir. But the -- okay. So if I understand you  
2 correctly then, Column 10 on Page E-44 is comparable to, would  
3 it be Column 6 on your SRS-1; is that right?

4 A Yes, sir.

5 Q Okay. Thank you. Now is it, is it true generally,  
6 Dr. Sim, that the forecasting of future demands on your system  
7 is an art as well as a science of sorts?

8 A I'm having a hard time at the moment considering Dr.  
9 Green as an artist, but perhaps he would, he would view it that  
10 way.

11 Yes. I'm sure it, there is certainly judgment  
12 involved in, in forecasting.

13 Q Yes, sir. And I guess more specifically or  
14 pertinently, it's not, it's an art in the sense that it's not  
15 an exact science. You don't always get it right, do you?

16 A That's correct.

17 Q In fact, it would be -- isn't it true that it would  
18 be rare that you would ever get it right exactly?

19 A On a forecast for peak demand, I would agree.

20 Q Okay. Now in that regard, would you turn to Page  
21 D-44 of the volume having Appendices A through D?

22 A I'm sorry. D?

23 Q D-45. It's about this far through.

24 A I have it.

25 Q Now your, your -- I had asked Mr. Silva yesterday if



1 FPL reviewed the worth or the accuracy of his prior projections  
2 as, as actual data became available, and I think he said  
3 something to the effect that probably you did, but I think he  
4 said you would be the correct witness to ask. Does the company  
5 do that?

6 A Yes. I have seen those calculations, but they're  
7 performed by Dr. Green.

8 Q Dr. Green?

9 A Yes, sir.

10 Q Okay. Well, let me, let me ask you this. I'll ask  
11 Dr. Green that question or try and remember to.

12 The -- look at the -- on Page D-45, that is the, the  
13 comparable page to E-44, but from the previous year's ten-year  
14 site plan, is it not?

15 A Yes.

16 Q Okay. Now look at, look at Column 2 for the year  
17 2005, Dr. Sim. The number is 2,433; right?

18 A 20,433.

19 Q You're right. That's what I meant to say, 20,433.  
20 So if my, if my math is correct, the difference is  
21 86 megawatts; right? Did I get it right?

22 No. I'm sorry. It's what? It's -- I only did the  
23 last two.

24 A Roughly 300 megawatts.

25 Q I'm sorry. 286. Okay.

1           Now, so from the 2001 ten-year site plan where you  
2 calculated or somebody, FPL calculated that your peak summer  
3 demand, the demand that I think has been indicated that drives  
4 your generation capacity requirements, increased by almost  
5 300 megawatts when that same calculation was made in the  
6 2002 site year plan; correct?

7           A     That's correct.

8           Q     Okay. Now do you have a calculator?

9           A     No, sir.

10          MR. TWOMEY: May I give him this calculator?

11          CHAIRMAN JABER: Counsel, if you don't have any  
12 objection.

13          MR. GUYTON: Yes.

14          BY MR. TWOMEY:

15           Q     Dr. Sim, I'd like to ask you to go back to your  
16 Exhibit SRS-1 and do the necessary calculation to get the  
17 answer for summer peak 2005 in Column 9 if you substitute the  
18 peak load forecast the company had in its 2001 site year plan  
19 versus the 20,719 you used.

20           A     In other words, simply changing the calculation, the  
21 projection of peak load?

22           Q     Yes, sir. That is substitute for 20,719 in Column  
23 4 of SRS-1, insert 20,433.

24          MR. GUYTON: I'd object as to there hasn't been a  
25 proper predicate laid as to whether that's an appropriate

1 calculation to be made.

2 CHAIRMAN JABER: Mr. Twomey, your response.

3 MR. TWOMEY: I'm not sure that there needs to be any  
4 predicate that this is the proper calculation. I'm merely  
5 asking him to insert one number versus another and do the math.  
6 And the result will be, whatever it turns out as, will be a  
7 different number in terms of the capacity requirements needed  
8 to meet the 20.0 reserve margin.

9 CHAIRMAN JABER: How about you establish -- because,  
10 frankly, I think you do need the predicate -- how about you  
11 establish that that calculation does result in a different  
12 number for the capacity requirement.

13 MR. TWOMEY: Okay, Madam Chairman. I'll do that.

14 CHAIRMAN JABER: Okay. Thank you.

15 BY MR. TWOMEY:

16 Q Dr. Sim, would that, in fact, changing that one  
17 number, result in Column 9 being different?

18 A Yes. It would lower it by approximately  
19 300 megawatts.

20 Q It would lower -- did you do the calculation?

21 A No. I know that if the peak load forecast drops by  
22 300, the megawatts needed to meet reserve margin, absent any  
23 other changes, is also going to drop by 300 megawatts roughly.

24 Q Okay. Now -- and then if that were, if that were  
25 the, if that were the case now just hypothetically, then you

1 wouldn't be, FPL wouldn't be 15-megawatts short. You would be  
2 some 285 or whatever to the plus side of meeting 20.0 percent,  
3 is that correct, if that were, if that were the case?

4 A That was -- the answer is yes. If the load forecast  
5 was lower than it was by 300 megawatts, we would not be facing  
6 a 15-megawatt shortfall if we were to build only the Manatee  
7 Unit in 2005.

8 Q Okay. Now is Dr. Green the, the correct witness to  
9 ask what happened in the modeling techniques between  
10 preparation of the 2001 site plan, ten-year site plan and the  
11 2002 site plan to make this difference, the increase in the  
12 forecasted peak for 2005?

13 A Yes, sir. He would be the appropriate witness.

14 Q Okay. I'll wait and ask him.

15 Mr. McGlothlin had asked you a number of questions  
16 about the, the EGEAS model. And I know Ms. Iglesias is here.  
17 I just wanted to ask you, if you know, as between the two of  
18 you which of you is the more proficient or knowledgeable about  
19 the functions of that modeling technique?

20 A Certainly Ms. Iglesias.

21 Q Okay. I also wanted to ask -- Mr. Moyle, I think,  
22 asked both you and Mr. Silva a question about what officers  
23 would know about a settlement, if any, between the unnamed  
24 bidder, and I'd like to ask it to you just a little bit  
25 differently. And that is if there were such a settlement with

1 the unnamed bidder, would, would your company's CEO,  
2 Mr. Evanson, be aware of that settlement?

3 MR. GUYTON: Objection to -- the same standing  
4 objection as to the inquiry about a settlement at all. But in  
5 addition, this calls for speculation on the part of the  
6 witness.

7 CHAIRMAN JABER: Mr. Twomey.

8 MR. TWOMEY: Well, I'm not -- I don't know that -- I  
9 don't know how speculative that is. It seems, it seems to me  
10 that, that the CEO of a major corporation like this would be in  
11 on such a decision and that Dr. Sim would be aware of whether  
12 or not. If he doesn't know, he can certainly say so.

13 CHAIRMAN JABER: I'll allow the question.

14 THE WITNESS: Would you repeat the question, please?

15 BY MR. TWOMEY:

16 Q Yes, sir. If there, there was a discussion about a  
17 possible settlement between FPL and the, the unnamed or  
18 undisclosed bidder, I guess the thought was that it would have  
19 them not participating in this docket any longer, if there were  
20 such a settlement, wouldn't it be true that your CEO,  
21 Mr. Evanson, would be aware of it?

22 A Our president Mr. Evanson?

23 Q I'm sorry. Your president.

24 A If there were a settlement, I don't know whether he  
25 would be aware of it. I don't know if the details of this

1 agreement, if it exists, would be significant enough to have  
2 been brought to his attention.

3 Q Okay. Fair enough, Dr. Sim. Thank you. That's all  
4 I have.

5 A Thank you.

6 CHAIRMAN JABER: Staff?

7 MR. HARRIS: Thank you. Dr. Sim, we're going to  
8 start by passing out two separate documents, and I would ask  
9 that they be marked for identification as hearing exhibits.

10 The first will be a document that's described as  
11 deposition of Steve Sim, late-filed deposition exhibit. The  
12 second is a composite exhibit of FPL's response to staff's  
13 second set of interrogatories, numbers 5, 6, 7 and 35.

14 CHAIRMAN JABER: Tell me one more time.

15 MR. HARRIS: The first is the deposition of Mr. Sim,  
16 late-filed deposition exhibit.

17 CHAIRMAN JABER: Hearing Exhibit 16 will be  
18 identified as Dr. Sim's deposition transcript.

19 MR. HARRIS: I'm sorry. It's not a transcript.

20 CHAIRMAN JABER: Oh, I see. It's Late-Filed  
21 Deposition Exhibit SRS-1.

22 (Exhibit 16 marked for identification.)

23 MR. HARRIS: And the second is a composite which is  
24 FPL's response to staff's second set of interrogatories numbers  
25 5, 6, 7 and 35.

1 CHAIRMAN JABER: Hearing Exhibit 17 is identified as  
2 FPL's response to staff's second set of interrogatories, 5, 6,  
3 7 and 35.

4 MR. HARRIS: Thank you.

5 (Exhibit 17 marked for identification.)

6 CROSS EXAMINATION

7 BY MR. HARRIS:

8 Q Dr. Sim, if I could start with what's been marked as  
9 Exhibit Number 16, which is your late-filed exhibit. Do you  
10 have a copy of that in front of you?

11 A Yes.

12 Q My specific questions involve the relationship  
13 between that exhibit and Exhibit 9, which I believe was marked  
14 yesterday by Mr. Silva. Do you have a copy of that in front of  
15 you?

16 A Yes.

17 Q You were asked some questions about that a little bit  
18 earlier by counsel.

19 My first question is does the Exhibit 9 affect in any  
20 way your Late-Filed Deposition Exhibit Number SRS-1?

21 A Does it affect?

22 Q Does it change the numbers in any way?

23 A No. I believe the exhibits are designed to look at  
24 two different situations.

25 Q Could you explain that for me?

1           A     Yes. The late-filed exhibit that staff requested was  
2 intended to look at what would happen if we were to ignore the  
3 20 percent reserve margin and build Manatee only in 2005 and  
4 move the Martin Unit into 2006.

5                     My understanding of Exhibit 9 is that it looks at  
6 what happens if you build the Manatee Unit in 2005 and simply  
7 do not build the Martin Unit.

8                     CHAIRMAN JABER: At all?

9                     THE WITNESS: Correct. That's my understanding.

10           BY MR. HARRIS:

11           Q     On Exhibit 9 there's a figure of \$16 million, and I  
12 believe that refers to a notation "added cost of building  
13 Manatee Unit 3 alone compared to FPL plan." When I look at  
14 that number but compare it to your late-filed exhibit, I  
15 believe I come up with a number of \$18 million; is that  
16 correct?

17           A     Can you point me to the \$18 million, please?

18           Q     I think it's on Page 4 of 4, Column 14, bottom entry.

19           A     In Column 14 you're referring to the bottom right  
20 number?

21           Q     That's correct.

22           A     Okay. All right. Those are not comparable numbers.

23           Q     Why not?

24           A     Because they represent different things. Let me try  
25 to explain.



1           The \$18 million on Page 4 of 4 of the late-filed  
2 exhibit represents the total net present value cost of shifting  
3 a unit one year; in this case the Martin Unit.

4           The -- on Exhibit 9 the \$16 million number represents  
5 the additional costs for construction of the, of one unit, if  
6 you did not build the second unit. We're talking a shift of a  
7 year versus not building and costs that are then incurred by  
8 the unit that is built.

9           Q     With that understanding, I see that Column 11 on Page  
10 4 of 4 is marked "Adjustment for one FPL unit only (millions),"  
11 and that column contains a number of zeros. Shouldn't that  
12 change, that \$16 million you referred to on Exhibit 9, be in  
13 that column somewhere?

14          A     No. I don't believe so. The assumption we used  
15 throughout all of our analyses is that if you simply deferred a  
16 unit one year, there would be no additional cost as long as it  
17 was built. But if you did build only one unit, the shared cost  
18 savings between the, the two plants would disappear and  
19 additional costs would have to be picked up by the one unit  
20 that was built.

21          Q     So would I be correct in assuming then that at the  
22 bottom of Exhibit 9, the last entry, "Future construction if  
23 subsequently Martin Unit Number 8 is built, its cost will be at  
24 least \$15 million greater when built alone (compared to the FPL  
25 plan)," that's what's intended to be captured on your

1 late-filed exhibit?

2 A That's correct. It was never intended to be captured  
3 because that's not the assumption we used throughout the RFP  
4 analyses. And I understood the, the request for a late-filed  
5 exhibit to perform the calculation identical to the way that we  
6 had performed all of the other RFP analyses.

7 CHAIRMAN JABER: Then that begs the question, why was  
8 Exhibit 9 put together? As I understood the cross-examination  
9 yesterday, Exhibit 9 was put together because of the company's  
10 desire to respond to staff's request at a deposition for a  
11 late-filed exhibit.

12 THE WITNESS: Madam Chairman, I'm not exactly sure  
13 why Exhibit 9 was put together. I was asked to review some  
14 numbers in there and did so. However, my understanding is the  
15 document that, that is termed the late-filed exhibit is what  
16 FPL responded to in the request for the late-filed exhibit.

17 I believe Exhibit 9 was created for other purposes,  
18 but I did not have a hand in creating it. So I'm not exactly  
19 sure what purpose it was designed for.

20 CHAIRMAN JABER: Thank you.

21 MR. HARRIS: Thank you.

22 BY MR. HARRIS:

23 Q So would it be correct to say then that there is no  
24 change to the late-filed exhibit you provided and which has  
25 been marked as Exhibit Number 16?

1 A I would not change it. That's correct.

2 Q Thank you. I wanted to ask you a question about the  
3 TECO reserve margin that you referred to yesterday in your  
4 testimony, I believe.

5 Do you recall being asked some questions about the  
6 proposals that included a power purchase from TECO being of  
7 concern to Florida Power & Light due to the reserve margin of  
8 TECO falling below a certain percentage?

9 A I don't believe I was asked that, but I do recall  
10 that Mr. Silva was asked about it.

11 Q Could you, if you know the answer, explain to me why  
12 Florida Power & Light was concerned about TECO's reserve  
13 margin?

14 A I would characterize it as it was a check we did for  
15 both Florida Power Corporation and for TECO to see if they, if  
16 it appeared that they actually had the amount of megawatts they  
17 were offering to us based on their ten-year site plans.

18 Q But if TECO represented to you that they can meet  
19 their contractual obligation to provide you with power, isn't  
20 it incumbent on TECO to ensure that they can do that as opposed  
21 to you all ensuring that they can do that?

22 A Yes, it certainly would be. And if we had short  
23 listed them and gotten into additional negotiations, I'm  
24 certain that would have been a question that would have been  
25 asked of them.

1 Q Do you know if anyone from Florida Power & Light  
2 called anyone at TECO to discuss that reserve margin issue?

3 A To my knowledge, no.

4 Q Do you know why that was?

5 A Simply because at that, at the time we would have  
6 called them -- well, let me back up.

7 There would have been two times we could have called  
8 them or have otherwise contacted them. One of those was  
9 initially in the first couple of days after we got the  
10 proposals in I contacted every one of the outside bidders for  
11 information that was either confusing or appeared to be missing  
12 on their forms. This issue was not raised at that time.

13 When the question arose later in regard to both Power  
14 Corp and to TECO, we did the calculation with the  
15 understanding, at least on my part, that if they made it into  
16 initial negotiations, this would be a question we would ask  
17 them.

18 Q Am I correct in my understanding that TECO was not  
19 placed on the short list because of that reserve margin  
20 deficiency?

21 A I don't believe that is what Mr. Silva stated  
22 yesterday and that's not my understanding.

23 Q What is your understanding?

24 A That they were in an expansion plan that was not the  
25 most competitive, and the plans that they appeared in, they

1 were paired with a bid from a bidder's name we're not  
2 mentioning here who had, there were financial questions about  
3 them.

4 But primarily the TECO proposals were in expansion  
5 plans that were not the most competitive as El Paso and Power  
6 Corp's were.

7 Q I think there's been some significant discussion  
8 about the 15-megawatt shortfall in Power & Light's reserve  
9 margin for 2005, and I won't belabor that point. But I wanted  
10 to ask you, I understand that the 20.0 is a hard target for  
11 Florida Power & Light; is that correct?

12 A Yes.

13 Q Would it be your testimony that the Commission is not  
14 bound by the 20.0 for 2005?

15 MR. GUYTON: Objection to the extent that it calls  
16 for a legal conclusion on the part of the witness.

17 CHAIRMAN JABER: Staff, your response?

18 MR. HARRIS: I'm not asking for a legal conclusion, I  
19 don't believe. If I am, I'll be happy to rephrase.

20 MR. GUYTON: That's fine, just as long as we're clear  
21 in that regard.

22 CHAIRMAN JABER: And, Mr. Guyton, I didn't hear it  
23 call for a legal conclusion either. Ask your question again,  
24 staff. I'll allow it.

25 MR. HARRIS: Thank you.

1 BY MR. HARRIS:

2 Q My question is this: Florida Power & Light felt  
3 bound to the 20.0 percent reserve margin. Is it your  
4 understanding that the Commission in a proceeding has the  
5 discretion or could choose to allow that 15-megawatt shortfall  
6 in 2005?

7 A I really don't know if the Commission has or, if it  
8 has, if it would exercise that discretion. All I know is we  
9 had stated in the RFP and stated in discussions in our prebid  
10 workshop and in the Q&A web site an amount of megawatts that we  
11 would build towards that was based on a 20.0 reserve margin,  
12 and we did not want to work off of that. In other words, we  
13 wanted to play the game by the rules that we stated.

14 To do so, in the example that has been brought up in  
15 staff's late-filed exhibit of building Manatee in 2005 having  
16 the 15-megawatt shortfall and building Martin in 2006, would  
17 have been, would have treated the All-FPL plan by a different  
18 and lower reliability standard than what we were treating all  
19 of the combination and all of the outside plans. And we didn't  
20 feel like that was fair to the bidders, so we were not going to  
21 get into that.

22 Q When, when you ran the EGEAS models, it's my  
23 understanding from your deposition that the 20.0 figure was not  
24 actually the input in EGEAS; is that correct?

25 A That's correct. Because in terms of inputting data,

1 there is rounding or truncating of numbers. And the way a  
2 computer model will then handle that truncated or rounded  
3 number means that sometimes on a constraint like 20.0 percent  
4 you have to put in something slightly different in order to  
5 allow a plan that on paper would get you exactly 20.0 percent.  
6 But the intent all along was for the model to only evaluate  
7 plans that would meet on paper a 20.0 percent.

8 Q It's my understanding from your deposition that  
9 Florida Power & Light did not print out the results of any runs  
10 that did not meet the 20.0 on paper reserve margin; is that  
11 correct?

12 A Yes. EGEAS does not print that out.

13 Q Okay.

14 A It was not a decision on FPL's part not to print  
15 those out.

16 Q And it's my understanding that Florida Power & Light  
17 did make the decision not to run any sensitivities at different  
18 reserve margin criteria other than at 20.0 percent; is that  
19 correct?

20 A That's correct. We wanted to be fair to the bidders  
21 in this process and run the analysis on the evaluation criteria  
22 that we stated in the RFP.

23 Q Thank you. I provided you a document which has been  
24 marked as, I think, hearing Exhibit 17. Do you have that in  
25 front of you? It's a set of answers to interrogatories.

1 A Yes, I do.

2 Q The, the exhibit contains an answer, the first page,  
3 it's Page 1 of 1, answer to Interrogatory Number 35. Did you  
4 prepare this document?

5 A I'm sorry. This is Interrogatory Number 35?

6 Q The response to Interrogatory Number 35, Page 1 of 1.

7 A I don't believe I prepared this response.

8 Q Do you know who did?

9 A No, I don't.

10 Q Okay. Are you familiar with the information  
11 contained in this document?

12 A Only to the extent that I have seen this document fly  
13 by as we were going through all of the documents that were  
14 produced in the case. I've glanced at it.

15 CHAIRMAN JABER: Mr. Guyton, with respect to these  
16 responses that came to staff's interrogatories, you're not  
17 going to have an objection to this exhibit being admitted into  
18 the record?

19 MR. GUYTON: Madam Chairman, we're not going to  
20 object to the authentication of those exhibits. We would like  
21 some understanding for the purpose for which it's intended to  
22 be used so that we'd just simply ask if it -- so that we  
23 understand whether a witness needs to address it or whether it  
24 can just simply come in.

25 CHAIRMAN JABER: What I'm looking for is a way to



1 speed this up by getting a stipulation that this may become an  
2 exhibit in the hearing.

3 We haven't taken a break yet. We're going to take a  
4 ten-minute break. Would you please meet with staff and find  
5 out if this can just become a stipulated exhibit?

6 MR. GUYTON: Yes.

7 CHAIRMAN JABER: Thank you. And I don't mean to  
8 exclude the parties from that. I mean, talk with the parties  
9 as well.

10 (Recess taken.)

11 CHAIRMAN JABER: We're going to go ahead and get back  
12 on the record.

13 MR. HARRIS: Thank you.

14 CHAIRMAN JABER: Staff?

15 MR. HARRIS: Thank you, Madam Chairman. There was  
16 some discussion, as you suggested with counsel for FPL, and I  
17 think we're going to reserve most of our questions about  
18 Interrogatory 35 for subsequent witnesses, for subsequent  
19 witnesses Mr. Green and Mr. Yupp, I believe.

20 CHAIRMAN JABER: Thank you.

21 MR. GUYTON: We can stipulate to Interrogatories 5,  
22 6 and 7, Commissioner.

23 CHAIRMAN JABER: Okay. All right.

24 BY MR. HARRIS:

25 Q Dr. Sim, regarding exhibits or, I'm sorry, Exhibit

1 17, Interrogatories Number 5, 6 and 7, could you take a look at  
2 those and familiarize yourself with those?

3 A Okay.

4 Q Could you tell me what those are or appear to be?

5 A These are responses to staff's Interrogatory Number  
6 5.

7 Q Okay. 5, 6 and 7. Could you tell me what basically  
8 the information contained there is?

9 A Yes. My recollection is that the interrogatory  
10 requested that the total cost information for several of the  
11 plans be presented in a specific format, and that is what we've  
12 done on these spreadsheets.

13 Q What format was, was requested?

14 A My recollection is it was a format that matched that  
15 requested by staff in an interrogatory to the initial RFP.

16 Q Would that be the accumulative net present worth or  
17 cumulative present worth revenue requirements format?

18 A In part. I believe you also asked for annual costs  
19 and then to total them up and give you a cumulative running  
20 total, which is what we've done in the last column.

21 Q Thank you. And would it be correct to say that what  
22 we basically have is a, an all out, the All-FPL plan, some  
23 different combination plans involving Florida Power & Light and  
24 outside bid proposals and then a run with Martin and Manatee  
25 separated by one year?

1           A     Yes.

2           Q     And it's my understanding that the, the best FPL plan  
3 is about \$83 million more cost-effective than the next best  
4 plan; is that correct?

5           A     It's \$83 million less expensive than the, than the  
6 next best plan that includes only one of the FPL units.

7           Q     If you could turn to the response to Interrogatory  
8 Number 5, and I'd like you to look at Table 5, Page 1 of 4.  
9 And would it be fair to say that this is the best FPL plan?

10          A     It is the only FPL plan that meets the reserve margin  
11 criteria for both years and, therefore, it's the best plan.

12          Q     If you could turn to the next page, Page 2 of 4. And  
13 if you could explain to me what this table reflects or this  
14 page reflects.

15          A     Give me a moment to refer back to the footnote page,  
16 please.

17                 It appears to be a break out of a cost calculation  
18 with a plan that includes both the Martin and Manatee units but  
19 in separate years. And I believe this plan also includes an  
20 outside proposal that makes up the capacity difference for  
21 2005.

22          Q     And in the bottom right-hand entry, Column 14, the  
23 very bottom right-hand, if you could tell me the difference on  
24 Page 1 of 4, the All-FPL plan, and Page 2 of 4, the plan  
25 separated with the outside proposal.

1 A The differential appears to be \$23 million.

2 Q With that \$23 million difference, did any of the  
3 things we discussed this morning about the late-filed  
4 deposition exhibit or Exhibit 9 presented by Mr. Silva change  
5 these numbers in any way?

6 A No.

7 Q With the late-filed deposition exhibit that's been  
8 marked as Exhibit 16 for hearing, how is that different from  
9 this Table 5, Page 2 of 4?

10 A Let me try to answer the question this way.

11 Page 1 of 4 of Exhibit 17 and Page 2 of 4 of Exhibit  
12 16, if I have the exhibit numbers correctly, both represent the  
13 All-FPL plan where Martin and Manatee are built in 2005 and  
14 they show identical cost calculations. The difference appears  
15 on the staff requested split plan with Manatee only in 2005 and  
16 Martin Number 8 in 2006, which is Page 3 of 4 of Exhibit 16 and  
17 Page 2 of 4, which is Exhibit 17. And the difference there is,  
18 to my recollection, the Page 2 of 4 in Exhibit 17 differs from  
19 what is shown on the staff's requested split plan by the fact  
20 that we do have an outside proposal that makes up the capacity  
21 difference in 2005.

22 Q So staff requested that you run the Exhibit 16 as a  
23 late-filed deposition exhibit; is that correct?

24 A That's correct.

25 Q Okay. Do you know why -- do you recall why staff

1 asked you to produce that exhibit?

2 A My understanding of the intent of the request is to  
3 see if FPL were to ignore the 20.0 percent reserve margin  
4 requirement in 2000, money could be saved for customers by  
5 moving the Martin Unit back one year. That was my  
6 understanding of the request. And, as the late-filed exhibit  
7 shows, that is not the case. It actually ends out to being  
8 more costly to our customers to do that.

9 Q Do you know approximately how much more costly it  
10 would be?

11 A I believe our calculation is shown on the late-filed  
12 exhibit, Page 4 of 4, to be \$18 million cumulative present  
13 value.

14 Q Would it be fair to say then that regardless of the  
15 need for the 15 megawatts in 2005, it would be beneficial to  
16 add both plants in 2005 in order to save approximately  
17 \$18 million?

18 A It certainly is to our customers' benefit both  
19 monetarily and reliability-wise to put both units in 2005.

20 Q What I asked was, ignoring the 15 megawatts, the  
21 reliability, would it be a benefit to the consumers or the  
22 ratepayers to add both Martin and Manatee in 2005?

23 A Yes. It would result in lower cost to our customers.

24 Q Thank you. I have one last set of questions for you.  
25 Do you have a copy of your deposition transcript?

1 A Yes.

2 Q If you could refer to Pages 52 and 53 when you have a  
3 chance.

4 A I'm sorry. Which page, please?

5 Q Page 52.

6 A 52.

7 Q And beginning with Line 12. Do you recall being  
8 asked whether you could provide some data to staff which would  
9 be in the same format as the data contained in confidential  
10 filing C-1 but reflect the data from the Martin and Manatee  
11 plants?

12 A Yes.

13 Q Do you know whether that data has been provided to  
14 staff?

15 A My understanding, it has not been provided to staff.

16 Q Why is that?

17 A When we looked at the form C-1s, the appropriate form  
18 would have been, even, even though it's not an exact match  
19 because it is not a turnkey project, it is, FPL's self-build  
20 options would be more closely aligned with a turnkey project.  
21 And the information that would be provided on a turnkey project  
22 form is actually less detailed than what we provided in Table  
23 6, so we felt that staff already had that information.

24 Q For purposes of ease of comparison, if staff would  
25 like to see the same data for Martin and Manatee but in the

1 format of C-1 so staff could hold the two pieces of paper next  
2 to each other and look from column to column, wouldn't that be  
3 possible?

4 A It would be possible. But we believe that staff  
5 already has that information and more in what we provided in,  
6 in our filings.

7 Q Would you agree that the data we have in your filing  
8 is in a different format than that in Table C-1 or confidential  
9 --

10 A Yes. I would agree it's in a different format.

11 Q How would staff be able to easily reconcile that data  
12 from what we have versus the format in confidential filing C-1?

13 A Because they provide essentially the same  
14 information. The turnkey project form on, in C-1 that was used  
15 for the turnkey outside proposals provides the total cost of  
16 the unit, which is also provided in several places in FPL's  
17 filing, it provides O&M numbers, et cetera. So the same  
18 information, although not in the exact same form, is repeated a  
19 number of times in our filing.

20 Q Would staff need to make different calculations or  
21 rework the data in any way to have a direct comparison with the  
22 confidential filing C-1 format?

23 A I don't believe so, if you would use the appropriate  
24 C-1 form.

25 MR. HARRIS: May I have a moment?

1 CHAIRMAN JABER: Sure.

2 (Pause.)

3 CHAIRMAN JABER: Mr. Harris, are you trying to just  
4 reconcile the late-filed exhibits with the filings we already  
5 have?

6 MR. HARRIS: No. Staff is interested in being able  
7 to make a comparison between the Martin and Manatee, an easy  
8 comparison between the Martin and Manatee plants and the  
9 information provided as the confidential exhibit.

10 The problem staff sees is that the, the, the data we  
11 have from Martin and Manatee are in one format; I think a total  
12 dollars format. The data in the C-1 filings is in the form of  
13 payments, capacity payments and variable energy payments. And  
14 the question I was going to ask Mr. Sim is, is it his testimony  
15 that staff could convert from the one format to the other  
16 simply in order to make that comparison piece of paper to piece  
17 of paper.

18 CHAIRMAN JABER: Without calculations?

19 MR. HARRIS: Correct.

20 THE WITNESS: My understanding of your request is to  
21 take a self-build option and compare it to the appropriate  
22 outside proposal C-1 form. And I don't think you need to do  
23 any calculations to compare it to the most appropriate C-1  
24 form, which would be the turnkey forms.

25 BY MR. HARRIS:



1 Q Would you be saying that I could take the C-1 -- I'm  
2 sorry to belabor this point -- that I could take a piece of  
3 paper from the C-1 exhibit and take a piece of paper from  
4 either Martin or Manatee and hold them against each other and  
5 be able to track one number from form to form or one series of  
6 numbers or something?

7 A There's not much tracking involved. It's simply a  
8 total purchase price for the unit versus a total cost for the  
9 self-build option.

10 Q Isn't, isn't a purchase price different from a cost  
11 though?

12 A Now we're talking about a different C-1 form, which  
13 in my opinion is not the appropriate form to compare to. In  
14 C-1 we have two different types of forms, Commissioners; we  
15 have one for a turnkey and one for a series of annual  
16 purchases, so to speak.

17 The self-build option, to our way of thinking, is  
18 certainly more closely aligned with the turnkey form. And the  
19 information on the turnkey form, I believe, we have already  
20 provided in several places in our filing.

21 CHAIRMAN JABER: Staff, is there a document you can  
22 show him? Do you want to show him the C-1 form you were  
23 looking at?

24 MR. HARRIS: We could do that. Those would be  
25 confidential forms and we'd have the issue with

1 confidentiality, but we could do that easily.

2 CHAIRMAN JABER: Well, we just need to be careful.  
3 And, Dr. Sim, you can't reveal the information on the  
4 confidential exhibit.

5 THE WITNESS: I think I've seen them before, but,  
6 yes.

7 CHAIRMAN JABER: And, staff, the other alternative is  
8 to ask for what you want in a late-filed exhibit. Just tell  
9 him what it is you want and perhaps we can obtain them.

10 MR. HARRIS: I think we'll take that option,  
11 Commissioner. Thank you, Chairman.

12 CHAIRMAN JABER: Tell him what you want.

13 BY MR. HARRIS:

14 Q Dr. Sim, would it be possible for Florida Power &  
15 Light to provide staff with a late-filed hearing exhibit which  
16 would contain information for the Manatee 3 and Martin 8 plants  
17 in the same format as it is contained in the confidential  
18 exhibit C-1, both turnkey and purchase forms?

19 A Yes, it would be possible.

20 Q Would Florida Power & Light be willing to provide  
21 that?

22 A I'm not sure I can answer for the company on that.

23 Q Who would be able to speak for the company?

24 A I'm not sure.

25 CHAIRMAN JABER: Dr. Sim, you're being offered on

1 behalf of the company. Is that an exhibit that you are able to  
2 put together for this agency?

3 THE WITNESS: Yes, Madam Chairman.

4 CHAIRMAN JABER: Okay. That's all I need to know.

5 So this exhibit, do you understand what staff is  
6 requesting?

7 THE WITNESS: I believe I do, but I will be happy to  
8 get with staff after I get off the stand and ensure that I know  
9 exactly what they are after.

10 CHAIRMAN JABER: No. Let's take care of it right now  
11 on the record. Let's make sure that you understand the  
12 request, and anything additional to that we'll let the  
13 attorneys work out later.

14 But on this exhibit I don't want anything more and I  
15 don't want anything less, so let's make sure we understand what  
16 staff's request is.

17 Is there any part of this request you think you don't  
18 understand?

19 THE WITNESS: Let me repeat it back to them and, and  
20 make sure.

21 CHAIRMAN JABER: Thank you.

22 THE WITNESS: I believe what you're asking for is to  
23 take both the Martin and Manatee units separately, fill in the  
24 form as if it were a turnkey on the turnkey project form, and  
25 then do the same thing for the purchase power form.

1 MR. HARRIS: That's correct.

2 THE WITNESS: Okay. But you do want the two units  
3 separated?

4 MR. HARRIS: That's correct.

5 THE WITNESS: Okay.

6 CHAIRMAN JABER: Thank you, Dr. Sim.

7 Staff, give me a short title for that late-filed  
8 exhibit which will be Exhibit 18.

9 MR. HARRIS: I would say it would be Martin and  
10 Manatee data in the form of confidential filing C-1. Would  
11 that be accurate, Mr. Guyton?

12 CHAIRMAN JABER: What did you say, Mr. Harris?

13 MR. HARRIS: Martin and Manatee data in the form of  
14 confidential exhibit or confidential filing C-1.

15 COMMISSIONER DEASON: Madam Chairman, let me ask  
16 staff a question.

17 CHAIRMAN JABER: Uh-huh.

18 COMMISSIONER DEASON: I don't want any of the  
19 confidential information. But I just want to understand, this  
20 confidential form C-1, what does it contain?

21 MR. HARRIS: It's my understanding, Commissioner,  
22 that that is the data that was provided as the bid process from  
23 the bidding companies. It's capacity payments and energy  
24 payments.

25 The information we have on Martin and Manatee is very

1 detailed but it is not in the same format, and it's difficult  
2 for staff to be able to hold one piece of paper to the other  
3 and say Bid 15 is this, this and this, Manatee is this, this  
4 and this. And it's difficult for us to be able to easily  
5 compare the two side by side. Staff is concerned about --

6 COMMISSIONER DEASON: So let me be sure I understand.  
7 The confidential C-1 shows the payments that would be required  
8 to a bidder if that bidder had actually won and built the,  
9 their facility, there would be payments from FPL to that  
10 successful bidder; correct?

11 MR. HARRIS: That's my understanding, yes.

12 COMMISSIONER DEASON: Over the life of the contract.

13 MR. HARRIS: That's my understanding.

14 COMMISSIONER DEASON: And it's in terms of capacity  
15 and energy payments.

16 MR. HARRIS: That's correct.

17 COMMISSIONER DEASON: And then you want a self-build  
18 option to be put in the same format?

19 MR. HARRIS: Essentially, yes, so we can compare --

20 COMMISSIONER DEASON: As if they were paying  
21 themselves capacity and energy, the cost --

22 MR. HARRIS: That's correct. Yes.

23 COMMISSIONER DEASON: Is that something that can be  
24 done?

25 THE WITNESS: We can calculate the numbers -- I'm not

1 sure it makes a lot of sense -- or we'll allow a meaningful  
2 comparison with the self-build option and the outside  
3 proposals.

4 COMMISSIONER DEASON: But it's an exercise that you  
5 can do mathematically.

6 THE WITNESS: Yes, sir, I believe so.

7 CHAIRMAN JABER: That's Late-Filed Exhibit 18.

8 (Late-Filed Exhibit 18 identified.)

9 MR. HARRIS: Thank you, Chairman. I believe that was  
10 all, that was all the questions we had.

11 CHAIRMAN JABER: Commissioners?

12 COMMISSIONER PALECKI: I have just one question, Dr.  
13 Sim.

14 We've been -- you've been asked a lot of questions  
15 concerning this 15 megawatts that was necessary to meet your  
16 reserve margin. And you understand what our concerns are with  
17 regard to the reserve margin, that we want to make sure we have  
18 a level of comfort with regard to reliability.

19 At the same time, we want to make sure that  
20 ratepayers are not paying some outlandish amount just because  
21 you wanted to make sure you reached 20 percent rather than  
22 19.99.

23 The question I'm asking you is if we had informed the  
24 company before the entire process, before the entire bidding  
25 process that, that this 15 megawatts was excused, that there

1 was no need for you to reach the 20 percent reserve margin,  
2 that the 19.9 would be satisfactory for that year, and so you  
3 didn't include that at all in your considerations or in your  
4 bidding, can you envision that there may have been a more  
5 cost-effective outcome? Is there a possibility, possibility  
6 that there might have been some other options rather than what  
7 you arrived at?

8 THE WITNESS: Commissioner, I would say that there is  
9 a possibility, although I believe it would be a remote one. I  
10 believe where we would end up, because that differential would  
11 be so small, is the computer would have still considered the  
12 Martin and Manatee both in 2005 and it would have shown it to  
13 be the most cost-effective option. And I believe that's best  
14 shown by this, the late-filed exhibit we gave staff where we  
15 moved off Martin into 2006, essentially ignoring that  
16 15 megawatts, and found out that that plan was actually  
17 somewhat more costly than building them both in the same year.

18 COMMISSIONER PALECKI: And the reason for your answer  
19 is primarily because of the savings involved in building the  
20 two plants rather than one plant?

21 THE WITNESS: No, sir, not quite. Because in either  
22 case we would be building both units.

23 COMMISSIONER PALECKI: Uh-huh.

24 THE WITNESS: By building the, the Martin Unit in  
25 2005 rather than 2006 we pick up substantial fuel savings for

1 2005 that would not otherwise be realized. And what we've seen  
2 is that virtually overcomes the higher or, excuse me, the  
3 capital cost, the higher capital cost of building the unit in  
4 2005 versus 2006 on a present value basis. So it's almost a  
5 wash there.

6 COMMISSIONER PALECKI: Thank you.

7 CHAIRMAN JABER: Commissioner Deason?

8 COMMISSIONER DEASON: Madam Chair, yeah, I have a few  
9 questions.

10 I have questions on Exhibit 16, and this is your  
11 late-filed deposition exhibit. I think staff asked you some  
12 questions about it, and I'm just wanting to try to understand.

13 You calculated the -- first of all, are these costs  
14 that appear in Column 14 or the various pages, when you use the  
15 terminology "net present value cumulative total cost," is that  
16 in terms of revenue requirements or what is that?

17 THE WITNESS: Yes, sir.

18 COMMISSIONER DEASON: So we are talking about the  
19 cumulative cost in terms of revenue requirements on a net  
20 present value basis?

21 THE WITNESS: That's correct.

22 COMMISSIONER DEASON: Okay. I'm looking on Page 2 of  
23 4, and as is indicated at the top of the page, this is the  
24 All-FPL plan, both the Manatee and Martin units being  
25 constructed in 2005, which is your proposal before us now.



1 Can you describe to me what Column 3 represents.

2 THE WITNESS: Yes. Column 3 represents the annual  
3 revenue requirements from the Manatee and Martin Unit being  
4 built.

5 COMMISSIONER DEASON: Now this is -- when you say  
6 generation capital, this is, these are the capital dollars  
7 invested and this is the revenue requirement associated with  
8 that investment in terms of return and depreciation, or what  
9 does it represent?

10 THE WITNESS: Yes, sir. Total revenue requirement  
11 calculation. And it includes both the Manatee and Martin Unit  
12 coming in in 2005 and in subsequent years the filler units that  
13 would be built to maintain a 20 percent reserve margin.

14 COMMISSIONER DEASON: Okay. Explain to me the filler  
15 units then. What do they enter into this calculation?

16 THE WITNESS: In this case, Commissioner, in 2007  
17 you'll see the number in Column 3 jump substantially from  
18 191 to 308. We are adding a filler unit to meet the increased  
19 load forecast and to maintain a 20 percent reserve margin. So  
20 another unit comparable in size to the Manatee Unit,  
21 1,107 megawatts, is being added in the year 2007. And that  
22 occurs at various points throughout the years covered here.

23 COMMISSIONER DEASON: And, of course, the purpose of  
24 this analogy is to try to determine incremental costs between  
25 the All-FPL plan and the staff's suggested FPL split plan.

1 These filler plants or units that you would be adding, do they  
2 vary between these two different plans?

3 THE WITNESS: No, sir, they would be identical in  
4 both plans.

5 COMMISSIONER DEASON: Okay. So that's really not a  
6 reason then for differential in cost?

7 THE WITNESS: No, sir. It has no impact.

8 COMMISSIONER DEASON: Okay. Okay. Let's look at  
9 Column 6, transmission integration. Could you explain that,  
10 please?

11 THE WITNESS: Yes. Those are the costs that were  
12 calculated for the various expansion plans in which we provided  
13 to the transmission integration folks in the first case a plan  
14 that consisted of both FPL's self-build options being built in  
15 2005, and in the second one an estimate of what the cost would  
16 be if we delayed the Martin Unit one year.

17 COMMISSIONER DEASON: Now for the year 2005 in Column  
18 6 on Page 4, which is the differential cost analysis, there's a  
19 zero there. Can you explain why that's zero?

20 THE WITNESS: I think it's showing a slightly lower  
21 cost, but it's not -- it's actually something different than  
22 zero. It was showing a --

23 COMMISSIONER DEASON: It's rounded to zero.

24 THE WITNESS: Yes, sir. That's correct.

25 COMMISSIONER DEASON: But now I thought earlier that

1 we had had some indication that there was transmission costs of  
2 some \$24 million if the unit is delayed, that is if the Martin  
3 Unit is delayed.

4 THE WITNESS: Yes, sir. \$24 million cumulative  
5 present value revenue requirements. If we were to take this  
6 page 4 of 4 and zero out every column other than Column 6, when  
7 you came over to Column 14, that cumulative total cost value  
8 would come to \$24 million.

9 COMMISSIONER DEASON: Well, let's look at that for a  
10 moment then. I'm looking at Page 4 of 4, Column 6. And if we  
11 just ignored everything else except for that column, you're  
12 indicating to me that the cumulative effect would be  
13 \$24 million?

14 THE WITNESS: On a present value basis, yes, sir.

15 COMMISSIONER DEASON: On a present value basis. So  
16 you would have to apply the present value factors to do that?  
17 Okay.

18 THE WITNESS: Yes, sir.

19 COMMISSIONER DEASON: So that is a consistent  
20 calculation then with Exhibit 9? It's the same number, it's  
21 just --

22 THE WITNESS: Yes, sir.

23 COMMISSIONER DEASON: Okay. So if I went through the  
24 exercise of applying the discount factor in Column 2 to the  
25 amounts in Column 6 and added all of that together, I would

1 reach \$24 million or approximately \$24 million.

2 THE WITNESS: Yes.

3 COMMISSIONER DEASON: Okay. And then Column 7, the  
4 system net fuel, that shows that for the year 2005 that there  
5 would -- I'm looking here on Page 4 of 4 -- that there is a  
6 differential of \$77 million, which means that the split plan  
7 increases fuel costs \$77 million for that year, and that on a  
8 present value basis -- well, then it would just be added up  
9 with other items for that year. But is \$77 million in nominal  
10 dollars?

11 THE WITNESS: That's correct.

12 COMMISSIONER DEASON: Okay.

13 THE WITNESS: And when present valued, it equals the  
14 \$55 million in net present value dollars that you saw on  
15 Exhibit 9.

16 COMMISSIONER DEASON: Okay. So that is also  
17 consistent with Exhibit 9 then?

18 THE WITNESS: Yes, sir.

19 COMMISSIONER DEASON: Okay. Now where in your  
20 Exhibit 16 is captured or is it captured the \$16 million of the  
21 differential cost of building Manatee alone? I mean, here  
22 again, I'm taking the \$16 million from Exhibit 9, and this is  
23 the added cost of building Manatee Unit 3 alone. Would it be,  
24 would it be, would it be included in the numbers in Column 3 in  
25 the differentials between these or where would it appear?

1 THE WITNESS: No, sir. It doesn't show up on this  
2 exhibit.

3 COMMISSIONER DEASON: It doesn't show up at all.  
4 Okay. Why does it not show up?

5 THE WITNESS: The assumption we made throughout our  
6 analyses is that the \$16 million for -- I'll call it \$15 to  
7 \$16 million because it varied slightly between whether you  
8 build Martin only or Manatee only -- it shows up only if you  
9 build one unit. And if you only separate them by a year, you  
10 do not have that, that additional cost.

11 COMMISSIONER DEASON: Okay. And that goes back to  
12 your explanation that Exhibit 9 is, it shows calculations  
13 assuming that the Martin Unit is not built at all.

14 THE WITNESS: Yes, sir. That's my understanding of  
15 Exhibit 9.

16 CHAIRMAN JABER: And may I interrupt here for just a  
17 minute, Commissioner Deason?

18 COMMISSIONER DEASON: Sure.

19 CHAIRMAN JABER: It seems to me that that might have  
20 been an important consideration from the beginning of the case.  
21 I'm trying to understand why that information was not provided  
22 in the direct case of the company. Can you -- did it not occur  
23 to the consultants that that might be an important figure for  
24 this Commission to consider?

25 THE WITNESS: Madam Chairman, at the time we did the

1 evaluation, we went to our Power Generation Division and we  
2 asked them: If we build only one unit, what's the additional  
3 cost; and if we defer one of the units, what's the additional  
4 cost?

5 The answer we got back at the time is it's about \$15  
6 or \$16 million if you only build one unit. But if you delay  
7 them, all you're picking up is really escalation on the capital  
8 of what you would have built it for in 2005.

9 The company may have rethought that at this point.  
10 But the inputs that we used consistently throughout the  
11 analysis were that if you defer a unit one year, you're only  
12 picking up escalation on the capital.

13 CHAIRMAN JABER: Thank you, Dr. Sim.

14 COMMISSIONER DEASON: Okay. Now back to Exhibit 16.  
15 Anywhere in this analysis did you make the assumption about  
16 impacts of your revenue sharing plan and what costs would or  
17 would not be potentially passed through to customers?

18 THE WITNESS: No, sir. We assumed that there was no  
19 revenue sharing plan in place.

20 COMMISSIONER DEASON: Now if you had made that  
21 assumption, would the cumulative savings of \$18 million shown  
22 on Page 4 of 4 of Column 14, would that increase or what would  
23 be the effect?

24 THE WITNESS: Let me make sure I understand the  
25 premise of the question, Commissioner.

1 By revenue sharing plan, we're talking about the  
2 discussion on Exhibit 9 in regard to the fact that certain  
3 costs would not be picked up until 2006?

4 COMMISSIONER DEASON: Yes.

5 THE WITNESS: I believe in that case the differential  
6 would change, yes.

7 COMMISSIONER DEASON: Would it -- would the  
8 differential change in the, to the extent that it would  
9 increase savings or would it decrease the savings indicated?

10 THE WITNESS: Between the two plans?

11 COMMISSIONER DEASON: Yes. I'm looking at, looking  
12 at the \$18 million, which is found in Column 14, Page 4 of 4.  
13 Would that number be greater or less?

14 THE WITNESS: The number would be greater.

15 COMMISSIONER DEASON: Still staying on Page 4 of  
16 4 and back to Column 3, and I'm looking at the years starting  
17 in 2006. We see a series of positive numbers which gradually  
18 decline with time, with the exception of the very last entry in  
19 2030. What is happening here that -- what, what do these  
20 numbers represent and why is there a slow decline in their, in  
21 their nominal value?

22 THE WITNESS: It has to do with the fact,  
23 Commissioner, that in the split plan we are building one unit  
24 one year later, so there's one year escalation on that number.  
25 And so the revenue requirement factors that enter in are

1 starting at a slightly higher point for the Martin Unit in 2006  
2 than they would have started in 2005.

3 COMMISSIONER DEASON: And then as the units  
4 depreciate, that nominal amount declines?

5 THE WITNESS: Yes, sir.

6 COMMISSIONER DEASON: Okay. And I have a question as  
7 to why this analysis on Exhibit 16 -- why does -- why do you  
8 begin your calculations with the year 2001 when the first year  
9 where there are actually differential costs do not start until  
10 the year 2005?

11 THE WITNESS: Commissioner, it was a carry-over from  
12 the initial RFP work that we, in which we did the evaluation in  
13 2001. And we decided that in the supplemental RFP, in order to  
14 make any comparisons that might be made back to the initial RFP  
15 work, we would continue to hold the base year at 2001 and  
16 discount everything back to that year.

17 COMMISSIONER DEASON: Okay. Let me ask you this  
18 question. If you had started your analysis in 2005 and began  
19 your discount factor there, one in 2005, would it have a  
20 material effect upon your conclusion that there's \$18 million  
21 in savings?

22 THE WITNESS: Yes. It would have increased the  
23 differential.

24 COMMISSIONER DEASON: The 18 would increase to a  
25 higher number?



1 THE WITNESS: Yes. Because you'd be discounting back  
2 over fewer years.

3 COMMISSIONER DEASON: Okay. That's all the  
4 questions, Madam Chairman.

5 CHAIRMAN JABER: Commissioners, any other questions?  
6 Redirect.

7 REDIRECT EXAMINATION

8 BY MR. GUYTON:

9 Q Dr. Sim, you were asked yesterday if it was  
10 appropriate for you to go outside the RFP for an additional  
11 15 megawatts, and you responded several times that you did not  
12 believe that was appropriate. Would you explain to the  
13 Commission why you did not believe that was appropriate?

14 A Yes, for a couple of reasons. We did not want to go  
15 outside of the RFP because in regard to securing, say, another  
16 purchase that had not been bid to us or in trying to pick up  
17 additional DSM, because we didn't feel that would be fair for  
18 the bidders. The way we portrayed it is we would do an  
19 analysis and it would be based on those bids and those bids  
20 only that came into us, plus the self-build options we had. To  
21 go outside of that, in my view, would have been changing the  
22 rules of the game after we had announced them.

23 And, in addition, as we have seen in the late-filed  
24 exhibit that we just discussed, Commissioners, simply moving  
25 the Martin Unit back to 2006 results in \$18 million higher

1 cost. If we had gone outside for a power purchase or had done  
2 additional DSM, we -- there's no benefit in moving the unit.  
3 We've seen it results in a net cost of \$18 million. And the  
4 cost of the purchase or the cost of the DSM would simply be  
5 tacked on top of the \$18 million of higher costs that you would  
6 already incur. So, therefore, we would just aggravate the  
7 situation.

8 But, again, our primary reason is we have stated the  
9 rules in one way, we wanted to be fair to the bidders and play  
10 by those rules throughout.

11 Q You were asked yesterday about the grouping of  
12 proposals and you were shown Mr. Silva's exhibit where he had  
13 six groups.

14 Would you explain to the Commission why and how the  
15 proposals were grouped?

16 A Yes. The grouping of the proposals was done, for  
17 lack of a better term let me call it blind. We did not group  
18 the proposals. We entered into a computer model two self-build  
19 options and 31 outside proposals that were labeled by numbers.  
20 For example, Proposal 1, Proposal 2, et cetera. We gave the  
21 models certain constraints such as the reserve margin  
22 constraints, and we asked it to find the most economical  
23 combination of those options that met those constraints. And  
24 it sorted through, came up with all combinations that met the  
25 constraints, and simply provided to us the most cost-effective

1 solutions depending upon the groupings that we put in there.

2           And as we have indicated, we gave the, each one of  
3 the 31 outside proposals numerous turns at bat in different  
4 circumstances where they could have been combined with numerous  
5 other outside proposals and the FPL options.

6           Q     You were asked a number of times yesterday about  
7 removing the equity, equity penalty cost from your analysis,  
8 and you stated on a number of occasions that you didn't think  
9 that would be proper or appropriate. Would you explain to the  
10 Commission why?

11           A     I'll explain it from an analyst's point of view. I'm  
12 certainly not a financial expert and Dr. Avera and Mr. Dewhurst  
13 can go into the financial side of this.

14                     But from an analytical point of view, we started with  
15 an adjusted capital structure of 55 percent equity/45 percent  
16 debt and we structured the self-build options so that they  
17 would be built or financed at a comparable 55/45 percent ratio.

18                     The outside proposals coming in with the imputed debt  
19 would have left us in a situation where we would be at a  
20 different capital structure than where we would be if we went  
21 with the self-build options. The self-build options would  
22 leave us a 55/45, which is where we started the analysis.

23                     For simplicity's sake, let me say that -- let's take  
24 an example where the outside proposals might have left us at a  
25 50/50. So we're at a, we're at a different financial

1 structure. And what we are attempting to do is make sure that  
2 the company ends up with the same capital structure regardless  
3 of whether we go Option A, the self-build, or go Option B,  
4 which is purchase power. So we're trying to get an  
5 apples-to-apples comparison there.

6 Q You were asked during cross-examination yesterday if  
7 you had ever participated in an RFP process with weights. Do  
8 you recall that?

9 A Yes.

10 Q How well did having weights work in that prior RFP?

11 A My recollection is it was basically a waste of time.  
12 It did not remove the subjectivity in it. What it did was  
13 to -- basically we ended out at the same point we would have  
14 ended out without the weights. We simply had more people  
15 involved providing their subjective opinions on various aspects  
16 of the bids that came in at that time. And it lended itself to  
17 creating difficulty in, when circumstances would come up, that  
18 we did not or could not have foreseen at the time we  
19 established the weights.

20 Q Having been through two different types of analyses  
21 now, Dr. Sim, which approach do you think is better as to an  
22 RFP; one that has assigned, preassigned values of weights or  
23 one that does not?

24 A I don't --

25 MR. MOYLE: I'd object to --

1 THE WITNESS: There's no question in my mind to --

2 CHAIRMAN JABER: Hang on Mr. -- Dr. Sim. Sorry. Mr.

3 Moyle?

4 MR. MOYLE: I would object to the question in terms  
5 of it being unclear with respect to "better." Better in what  
6 respect? I think it's ambiguous.

7 CHAIRMAN JABER: Mr. Guyton, the objection is to  
8 form. Why don't you just rephrase your question?

9 BY MR. GUYTON:

10 Q Dr. Sim, as an analyst, having been through two  
11 different types of RFP processes, one that had weights and one  
12 that did not, from your perspective which approach yields the  
13 better result?

14 A I think you get to a better result and you get to  
15 that result faster if you don't preassign weights. It gives  
16 you the flexibility you need to evaluate nonprice factors of  
17 bids of which the number and the type you cannot accurately  
18 predict ahead of time. You need to see what the bids are and  
19 what the language in the bids are.

20 Numerous outside proposals we received, in addition  
21 to filling out the, let me say, 20 pages of forms that we  
22 requested, we received literally volumes of explanatory  
23 material stating that the bid should be viewed in a particular  
24 way.

25 There's no way we could have predicted all of that

1 ahead of time as to what the bidders were suggesting or stating  
2 as constraints on their bid. Therefore, the flexibility, in my  
3 view, is certainly advantageous. It gets you a better answer  
4 and it gets you there quicker.

5 Q Dr. Sim, Mr. McGlothlin asked you a question  
6 yesterday with the premise, all things being equal, would lower  
7 variable O&M result in lower revenue requirements? Do you  
8 recall that?

9 A Yes, sir.

10 Q Would all of the things be equal?

11 A Given the premise of the question, I would say, no,  
12 things aren't equal. If an entity chose to take their total  
13 bucket of O&M dollars and put a relatively small amount in the  
14 variable O&M column, it would affect the dispatch and the  
15 production costing somewhat, but it also means that the fixed  
16 costs are higher than they might otherwise would have been.  
17 And depending upon how the unit would be dispatched in any  
18 given year, you might end out the same place, you might end out  
19 better off, you might end out worse off than if you had  
20 structured the difference between fixed, the, the total O&M  
21 bucket differently between variable and fixed.

22 Q When modeling variable O&M for the bids, did you  
23 change the variable O&M for any of the bidders from what they  
24 bid?

25 A No. We took the variable O&M exactly as they were

1 presented to us in the proposals and in the self-build options  
2 and modeled them that way.

3 Q When modeling the variable O&M from Florida Power &  
4 Light's PGD estimates, did you change variable O&M in any  
5 fashion from what PGD gave you?

6 A Other than to escalate them from 2001 dollars or 2002  
7 dollars up to the 2005 dollars, no, we did not.

8 Q Dr. Sim, would you explain to the Commission why FPL  
9 did not use POWERSYM instead of EGEAS in analyzing resource  
10 options?

11 A We simply didn't feel it was appropriate. After  
12 reviewing the bids and looking at the significant cost  
13 differential on the one hand and then looking at the bids and  
14 seeing where the real differences were, they were not in heat  
15 rates. These were all the same type of units. They were  
16 all -- heat rates fell right on top of each other. And the  
17 difference that we saw in the bids was in the capacity and  
18 fixed cost, and in the, in large part in the integration costs  
19 that, when they were combined in different expansion plans.  
20 That's where the difference fell.

21 We saw no way that any use of a second model to look  
22 at the production cost, which we viewed as a very small piece  
23 of the calculation, was going to change the results. So in our  
24 view it wasn't appropriate.

25 CHAIRMAN JABER: You were part of the decision to use

1 EGEAS instead of POWERSYM?

2 THE WITNESS: Yes.

3 CHAIRMAN JABER: Is that different from what you said  
4 yesterday?

5 THE WITNESS: I don't believe so.

6 CHAIRMAN JABER: Okay.

7 BY MR. GUYTON:

8 Q Does POWERSYM have an optimization function similar  
9 to what EGEAS does?

10 A No. EGEAS was created to do exactly the work that it  
11 was put to the test here or used in. The Electric Power  
12 Research Institute with dozens of utilities created and refined  
13 this model over the years to make exactly the resource decision  
14 type calculations that we did in this RFP.

15 Q And how long has Florida Power & Light Company been  
16 using the EGEAS model for these type decisions?

17 A Approximately a decade.

18 Q The results previously have been presented to and  
19 relied upon by the Commission?

20 A Yes.

21 Q In response to a question -- let me -- Mr. McGlothlin  
22 asked you a question about the likelihood of perhaps being able  
23 to find \$2 million in a production cost swing if one used  
24 POWERSYM instead of EGEAS, and you suggested in your response  
25 that that suggested a false perception.



1           Would you explain to the Commission what you meant by  
2 false perception?

3           A     Yes. As I recall the conversation, it was along the  
4 lines of if we were to use a more detailed production costing  
5 model, could you get different numbers?

6           And I think I tried to make a couple of points.  
7 Number one, in my view you're never going to find anywhere near  
8 the amount of money that would be needed to change the outcome  
9 of these calculations. And, number two, I think for the  
10 calculation that we're doing here, the more detailed model you  
11 use, you're fooling yourself if you're picking up additional  
12 accuracy as you go out over 25- or 30-year forecasts. You  
13 simply have to think back to how accurate the input data is to  
14 begin with. And as you try to squeeze more and more precision  
15 out of it, especially over long-term forecasts, you may think  
16 you're getting more precision. In reality, I don't believe you  
17 are.

18          Q     Mr. McGlothlin asked you about the use of the  
19 composite heat rate in the greenfield units. Do you recall  
20 that line of cross-examination?

21          A     Yes, sir.

22          Q     Were the greenfield units that were used as filler  
23 units, were they used in just the FPL expansion plans or were  
24 they used in all the expansion plans?

25          A     They were used in every expansion plan calculation

1 that we did; the exact same filler units.

2 Q You were asked today if -- what the mathematical  
3 computation would be of your need for additional capacity if  
4 one substituted the load forecast out of the 2001 ten-year site  
5 plan for the load forecast that was actually used in the  
6 supplemental RFP. Do you recall that?

7 A Yes, sir.

8 Q Is that an appropriate calculation?

9 A No, I don't think so. I mean, it's using outdated  
10 information where what we used in the calculation was the  
11 latest forecast that we had. Therefore, those are the ones  
12 that were appropriate to use in the calculation.

13 Q Staff has asked you for a late-filed exhibit in which  
14 you would provide a comparison of costs for the self-build  
15 option in a -- to a -- well, let me state it this way because  
16 I'm not sure I can accurately characterize that.

17 Staff has asked you for a late-filed exhibit  
18 comparing costs. Do you recall that?

19 A Yes.

20 Q Is such a comparison that staff has requested a  
21 meaningful comparison?

22 A No, for a couple of reasons.

23 Number one, you're trying to shoehorn a self-build  
24 option's cost structure into -- that is in the form of  
25 declining revenue requirements into a purchase power format,

1 which traditionally -- and in this RFP we saw were either  
2 constant or escalating capacity payments. So, therefore,  
3 you're really comparing two different things.

4 More importantly, even if I were to take two outside  
5 proposals on the forms they provided to us, all it would tell  
6 me were relative cost of those two proposals, and it wouldn't  
7 tell me the costs as they impacted the system. It wouldn't  
8 tell me what they were combined with, it couldn't tell me  
9 transmission integration costs, for example, it couldn't tell  
10 me system fuel savings as they would be combined with other  
11 proposals, et cetera. And I think the same problem exists with  
12 the, the hearing filed exhibit, I'll call it, where the FPL  
13 units are, have been asked to be put into that, that same type  
14 format.

15 It will only give you a small part of the picture.  
16 And any comparison that you would draw, to my opinion, would be  
17 meaningless without taking it through the entire evaluation,  
18 which is what we did in the RFP.

19 Q You were -- you've been asked a number of times if  
20 the Martin Unit 8 was needed to meet reserve margin in 2005 on  
21 FPL's system.

22 Is Martin Unit 8 needed to meet the reserve margin on  
23 FPL's system in 2006?

24 A The Martin Unit is being added to meet the capacity  
25 needs for both 2005 and 2006. It is being driven to be put

1 into 2005 because the computer model told us that was the least  
2 expensive thing to do; not to delay it a year, as we have shown  
3 staff's late-filed exhibit.

4 So to state that it is being put in place to meet the  
5 2005 need only is incorrect. It's being built in part to meet  
6 that 2005 need, but to my way of thinking mostly to meet the  
7 2006 need. It just benefits customers to move it forward one  
8 year into 2005 .

9 CHAIRMAN JABER: Mr. Guyton, may I interrupt for just  
10 a second?

11 MR. GUYTON: Yes, ma'am.

12 CHAIRMAN JABER: Dr. Sim, going back to what you  
13 believe would be a problem with staff's late-filed exhibit, as  
14 I understand your response, and I appreciate that  
15 clarification, it helps me with the exhibit. As I understand  
16 your response, it's apples to oranges because you don't have  
17 those increasing capacity payments with the self-build option.

18 THE WITNESS: In part that's, that's one of the  
19 problems with it, yes.

20 CHAIRMAN JABER: Well, by analogy -- and, therefore,  
21 that should be removed from the consideration because that's  
22 just not an issue when you exercise the self-build option?

23 THE WITNESS: I'm sorry. I didn't understand the  
24 question.

25 CHAIRMAN JABER: I think the point you are trying to

1 make is that's not, those increasing payments are not at issue  
2 when you have the self-build option. So to require FPL to  
3 calculate out what those payments would be is really  
4 irrelevant.

5 THE WITNESS: That's correct.

6 CHAIRMAN JABER: And, therefore, it shouldn't be a  
7 consideration in determining the self-build option.

8 THE WITNESS: That's correct.

9 CHAIRMAN JABER: By analogy then isn't it appropriate  
10 to remove the equity penalty from consideration of which option  
11 should be considered?

12 THE WITNESS: No, I don't believe so.

13 CHAIRMAN JABER: Then I don't understand. You need  
14 to walk me through that.

15 THE WITNESS: Well, let me try, Madam Chairman.

16 The problem I saw in the, in what I'll call the  
17 fairly simple comparison that staff has asked for is they want  
18 to take the existing outside proposal C-1 forms that already  
19 exist where what they'll see are costs, let's take capacity  
20 costs in dollars per KW per month that may start at, make up a  
21 number, \$7 per KW per month for the first year and will  
22 escalate slightly over time throughout.

23 For us to calculate that cost on those forms, we're  
24 going to have to take the declining revenue requirement stream,  
25 convert it into dollars per KW per month to match the format,

1 and what you'll see is a declining stream.

2           So any year I look at, I may see, going down several  
3 years, \$7.50 per KW per month what the bidder wants to be paid,  
4 and I will see a number that may be higher and may be lower for  
5 that particular year for the declining revenue requirements.  
6 It -- by itself it wouldn't tell me anything that I could make  
7 a meaningful decision on. And that was part of my objection as  
8 to the meaning, how meaningful that the comparison would be  
9 that staff has requested.

10 BY MR. GUYTON:

11           Q     Dr. Sim, what is Florida Power & Light Company's  
12 incremental capacity need in 2006 over and above 2005?

13           A     An additional 600 megawatts.

14           Q     Okay. You were asked about the \$16 million, and that  
15 is reflected on your -- it's not reflected on your late-filed  
16 deposition Exhibit 16 but was reflected on Exhibit 9. Do you  
17 recall that?

18           A     Yes, sir.

19           Q     Okay. Is that \$16 million reflected in your direct  
20 testimony exhibits in this case?

21           A     The \$16 million -- the answer is yes. The  
22 \$16 million is reflected in all expansion plans in which we  
23 build only one of the units, with a slight clarification.  
24 Again, it was \$15 million or \$16 million, depending upon which  
25 of the two units did not get built.

1           CHAIRMAN JABER: This is a very important point, Dr.  
2 Sim, that will help me in determining whether the exhibit comes  
3 into evidence or not. So can you tell me exactly where in your  
4 direct testimony that \$16 million, \$15 or \$16 million is  
5 discussed?

6           THE WITNESS: Yes. If you would look, please, in my  
7 direct testimony on Document Number SRS-8 at the back of the  
8 book, you'll see a spreadsheet. And as you work from the  
9 right-hand side, go over two columns to a column entitled,  
10 Adjustment For One FPL Unit Only. You'll see for every plan in  
11 which there's only FPL unit, either a \$15 or \$16 million adder  
12 to it, to the cost.

13           CHAIRMAN JABER: Thank you.

14 BY MR. GUYTON:

15           Q     And, Dr. Sim, if you would turn to Page 35 of your  
16 prefiled direct testimony. Is that one unit adjustment that  
17 you discussed, just discussed discussed at Page 35 of your  
18 direct testimony?

19           A     Yes, it is.

20           MR. GUYTON: All right. That's all that I have,  
21 Madam Chairman?

22           CHAIRMAN JABER: Thank you, Mr. Guyton.

23           COMMISSIONER DEASON: Madam Chairman, I have one  
24 quick question.

25           CHAIRMAN JABER: Yes, Commissioner Deason.

1 COMMISSIONER DEASON: It's just to refresh my memory  
2 because I believe I asked this question to you earlier.

3 Looking on Exhibit 9 in reference, again, to the  
4 \$16 million, which is the added cost of building Manatee Unit  
5 3 alone, I asked you if that was somehow reflected in Exhibit  
6 16, and I believe you said no. Did I understand you correctly?

7 THE WITNESS: Yes, sir, you did.

8 COMMISSIONER DEASON: Okay. And why is it not in  
9 Exhibit 16?

10 THE WITNESS: Because in Exhibit 16 we compare two  
11 different plans. In the first plan, Commissioner, we have  
12 Martin and Manatee coming in in 2005. In the second plan we  
13 have Manatee in 2005 and Martin built but delayed one year. So  
14 both units are built in both plans. And the \$16 million or  
15 \$15 million applies in our analysis only if one unit is built.

16 COMMISSIONER DEASON: You refreshed my memory. Thank  
17 you.

18 THE WITNESS: Yes, sir.

19 CHAIRMAN JABER: We have exhibits -- let's see. For  
20 FPL, Exhibit 12.

21 MR. GUYTON: We would move Exhibit 12 as well as  
22 Exhibit 4, which is the confidential appendices to the need  
23 case that Dr. Sim is solely sponsoring.

24 CHAIRMAN JABER: Without objection, Exhibits 4 and 12  
25 are admitted into the record.



1 (Exhibits 4 and 12 admitted into the record.)

2 CHAIRMAN JABER: CPV, I've got Exhibits 13, 14 and 15  
3 are yours. Exhibit 13 are various E-mails from FPL. 14 is the  
4 February 11th, 2002, letter from Mr. Caldwell to, to me.  
5 Exhibit 15 is an E-mail with an attachment from Sam Waters to  
6 Kathy Scott.

7 MR. MOYLE: Could we have those admitted into the  
8 record, please?

9 MR. GUYTON: Madam Chairman, we would just simply  
10 note for the record that Exhibit 14 is clearly hearsay and  
11 cannot be used in and of itself to support a finding of fact,  
12 and we want to preserve that for purposes of the record.

13 COMMISSIONER JABER: Mr. Moyle?

14 MR. MOYLE: Yeah. I mean, it's a letter. It speaks  
15 for itself.

16 CHAIRMAN JABER: All right. Exhibits 13, 14 and 15  
17 are admitted into the record, with the noted objection,  
18 Mr. Guyton, to Exhibit 14.

19 (Exhibits 13, 14 and 15 admitted into the record.)

20 CHAIRMAN JABER: Staff, Exhibit 16 is the late-filed  
21 deposition Exhibit Number 3.

22 MR. HARRIS: Yes.

23 CHAIRMAN JABER: Without objection, that will be  
24 admitted into the record.

25 (Exhibit 16 admitted into the record.)

1 CHAIRMAN JABER: On Exhibit 17, I think I'd like to  
2 go ahead and separate out FPL's response to staff's  
3 Interrogatory Number 35. We'll make that Exhibit 19 and hold  
4 onto its admission.

5 (Exhibit 19 marked for identification.)

6 CHAIRMAN JABER: That leaves for staff Exhibit 17 the  
7 responses to interrogatories 5, 6 and 7, and without objection  
8 Exhibit 17 will be admitted into the record.

9 (Exhibit 17 admitted into the record.)

10 CHAIRMAN JABER: Exhibit 18 is a late-filed exhibit.  
11 I want to go back to Exhibit 9. Mr. Guyton, I've  
12 heard enough with respect to Exhibit 9. And, Mr., Moyle,  
13 Mr. McGlothlin, I'm assuming you still have an outstanding  
14 objection to the admission of Exhibit 9?

15 MR. MCGLOTHLIN: Yes.

16 CHAIRMAN JABER: Here's my ruling. Exhibit 9 will  
17 not be admitted into the record. As it relates to some of the  
18 information that's contained in Exhibit 9, it's contained  
19 elsewhere in the record, so Exhibit 9 will not be admitted into  
20 the record. Thank you, Dr. Sim.

21 THE WITNESS: Thank you.

22 MR. HARRIS: Madam Chairman, did we move 18 into the  
23 record?

24 CHAIRMAN JABER: Not yet. That's a late-filed  
25 exhibit.

1 Our next witness is -- is it Mr. Green or Dr. Green?

2 MR. HILL: Dr. Green. We'd call Dr. Leonardo Green.

3 And, Madam Chairman, Dr. Green has not been sworn.

4 CHAIRMAN JABER: Dr. Green, would you please raise  
5 your right hand?

6 LEONARDO GREEN

7 was called as a witness on behalf of Florida Power & Light  
8 Company and, having been duly sworn, testified as follows:

9 DIRECT EXAMINATION

10 BY MR. HILL:

11 Q Please state your name.

12 A My name is Leonardo Green.

13 Q By whom are you employed and in what capacity?

14 A I'm employed by Florida Power & Light. I'm the  
15 Manager of Load Forecasting in the, in the Resource Assessment  
16 and Planning Business Unit.

17 Q And did you have occasion to prefile direct testimony  
18 in this matter consisting of ten typewritten pages?

19 A Yes, I did.

20 Q And have you also prepared an errata sheet for that  
21 testimony?

22 A Yes, I did.

23 MR. HILL: Madam Chairman, the errata sheet is very  
24 simple. Could he simply note the change for the record?

25 CHAIRMAN JABER: Sure.

1 MR. HILL: Okay.

2 BY MR. HILL:

3 Q Dr. Green, please note the change from your errata  
4 sheet.

5 A On Page 3, Line 4, I'd like to add that "Dr. Green  
6 cosponsors Appendix C."

7 Q Now, Dr. Green, if I were to ask you the questions  
8 contained in your prefiled testimony, would your answers be the  
9 same as corrected by your errata?

10 A Yes.

11 MR. HILL: We would ask that the prefiled direct  
12 testimony of the witness be inserted into the record as read.

13 CHAIRMAN JABER: The prefiled direct testimony of  
14 Leonardo E. Green shall be inserted into the record as though  
15 read.

16 (REPORTER'S NOTE: For convenience of the record, the  
17 prefiled direct testimony of witness Leonardo E. Green was  
18 inserted into the record at Page 500.)

19 BY MR. HILL:

20 Q Dr. Green, did you also have occasion to prefile  
21 exhibits consisting of documents LEG-1 through LEG-8?

22 A Yes.

23 Q And is the information contained in the exhibits true  
24 and correct to the best of your knowledge and belief?

25 A Yes, they are.

1 Q We would ask that the exhibits to Dr. Green's  
2 prefiled testimony be identified.

3 CHAIRMAN JABER: Hearing Exhibit 20 is identified as  
4 LEG-1 through LEG-8.

5 (Exhibit 20 marked for identification.)

6 BY MR. HILL:

7 Q And, Dr. Green, do you mean sponsor portions of the  
8 Need Study?

9 A Yes, I do.

10 Q Which sections, please?

11 A I'm sponsoring the load forecast portion of Section V  
12 of the Need Study and Appendix G of the Need Study.

13 Q And per your errata, sir? Just note cosponsoring  
14 Appendix C, also.

15 A Cosponsoring Appendix C.

16 Q Thank you. Please summarize your testimony.

17 A Yes.

18 Q Wait. I may have one more question. Is the  
19 information contained in the Need Study to which you sponsored  
20 true and correct to the best of your knowledge and belief?

21 A Yes, it is.

22

23

24

25

1                   **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2                   **FLORIDA POWER & LIGHT COMPANY**

3                   **DIRECT TESTIMONY OF LEONARDO E. GREEN**

4                   **DOCKET NOS. 020262-EI, 020263-EI**

5                   **JULY 16, 2002**

6  
7           **Q.    Please state your name and business address.**

8           A.    My name is Leonardo E. Green, and my business address is 9250 West  
9                Flagler Street, Miami, Florida 33174.

10  
11          **Q.    By whom are you employed and what position do you hold?**

12          A.    I am employed by Florida Power & Light Company (FPL) as the Load  
13                Forecast Manager of the Resource Assessment & Planning Business Unit.

14  
15          **Q.    Please describe your duties and responsibilities in that position.**

16          A.    I am responsible for the development of FPL's demand, energy, economics  
17                and customer forecasts.

18  
19          **Q.    Please describe your education and professional experience.**

20          A.    I received a PhD in Economics from the University of Missouri-Columbia, in  
21                1983. I joined FPL in April of 1986 and in July of 1991, I became a Manager  
22                of Load Forecasting within the Resource Assessment and Planning Business  
23                Unit. I am responsible for coordinating the entire economics and load

1 forecasting effort for FPL. Prior to working for FPL, I worked for Seminole  
2 Electric Cooperative as the Load Forecasting Supervisor in the Rates and  
3 Corporate Planning Department. I have held several Assistant Professorships  
4 of Economics and Statistics as well as research and teaching positions with the  
5 University of Missouri, Florida International University, NOVA University,  
6 and the University of South Florida.

7  
8 **Q. What is the purpose of your testimony?**

9 My testimony describes FPL's load forecasting process, the underlying  
10 methodologies and assumptions and the forecasts used in the Supplemental  
11 Request for Proposals (Supplemental RFP) analyses.

12  
13 **Q. Are you sponsoring an exhibit in this case?**

14 **A.** Yes. It consists of the following documents:

15 Document LEG-1: FPL, 2001 MIX OF REVENUE CLASSES

16 Document LEG-2: NET ENERGY FOR LOAD

17 Document LEG-3: SUMMER PEAK

18 Document LEG-4: WINTER PEAK

19 Document LEG-5: TOTAL CUSTOMERS

20 Document LEG-6: NET ENERGY FOR LOAD PER CUSTOMER

21 Document LEG-7: SUMMER PEAK PER CUSTOMER

22 Document LEG-8: WINTER PEAK PER CUSTOMER

23

1       **Q.    Are you sponsoring any portion of the Need Study document and**  
2       **appendices?**

3       A.    Yes. I am sponsoring the load forecast portion of Section V of the Need Study  
4       document and Appendix G of the Need Study.   *Dr. Green co-sponsors*  
5       *Appendix C.*

6       **I.    Description of FPL's Existing Customer Base**

7  
8       **Q.    Please describe FPL's existing service territory.**

9       A.    FPL's service area covers approximately 27,650 square miles within  
10       peninsular Florida, ranging from St. Johns County in the north to Miami-Dade  
11       County in the south, and westward to Manatee County. FPL serves customers  
12       in 35 counties within this region.

13  
14       **Q.    How many customers receive their electric service from FPL?**

15       A.    FPL currently serves more than 4.0 million customers and a population of  
16       more than 7.7 million people.

17  
18       **Q.    Of the approximately 4 million customers served by FPL, what is the mix**  
19       **of residential, commercial and industrial customers?**

20       A.    FPL's customer mix, shown on Document LEG-1, is approximately 89%  
21       residential, 11% commercial, and less than one half of one percent in the  
22       industrial and other categories. As a percentage of sales, residential customers  
23       represent about 52% of sales, commercial customers represent 42%, and



1 industrial customers represent approximately 4% of total sales. The  
2 remainder of sales comes from other consumers.

3

4 **Q. What were FPL's actual peaks and net energy for load during 2001?**

5 A. FPL experienced a record summer peak of 18,754 MW in 2001, an increase of  
6 5.3% from the 2000 summer peak, as shown on Document LEG-3. The  
7 winter peak for 2000/2001 was 18,199 MW, a 6.7% increase from the  
8 previous year, as shown on Document LEG-4. Net Energy for Load (NEL) in  
9 2001 was 98,404 GWh, an increase of 2.5% from the 2000 NEL, as shown on  
10 Document LEG-2.

11

12 **II. FPL's Load Forecasting Process and Results**

13

14 **Q. Please describe FPL's process to forecast the level of energy sales.**

15 A. FPL develops econometric models to explain and predict the level of energy  
16 sales. Explanatory factors, such as the weather, the price of electricity, the  
17 economic conditions in Florida, the number of customers and seasonal factors,  
18 are used to develop the forecast of energy sales. An econometric model is a  
19 numerical representation, obtained through statistical estimation techniques,  
20 of the degree of relationship between the level of energy sales and the  
21 explanatory factors. A change in any of the explanatory factors will result in a  
22 corresponding change in the level of energy sales. On a historical basis,

1 econometric models have proven to be highly effective in explaining changes  
2 in the level of energy sales.

3  
4 Predicting the level of sales in a future year first requires assumptions  
5 regarding the explanatory factors. These assumptions are obtained from  
6 several sources. For example, the future number of customers is based on  
7 population projections produced by the University of Florida's Bureau of  
8 Economic and Business Research (BEBR). The projected economic  
9 conditions are secured from the economic forecasting firm Data Resources  
10 Incorporated-Wharton Econometric Associates (DRI-WEFA). The weather  
11 factors are obtained from the National Oceanographic and Atmospheric  
12 Administration (NOAA). The price of electricity reflects the Commission's  
13 approved base rates and adjustment clauses. Seasonal factors in the  
14 consumption of electricity are derived from the weather seasons and the  
15 population seasonal pattern. Substantial analysis is performed in order to  
16 ensure that the assumptions regarding the explanatory variables are  
17 reasonable. This ensures that the forecast of energy sales is both realistic and  
18 rational.

19  
20 The final end-use energy demand of electricity or billed energy sales is NEL-  
21 adjusted for line losses and for billing cycle. The billing cycle adjustment  
22 takes into account the difference between when a customer consumes  
23 electricity and when the meter is read.

1       **Q.    What are the primary inputs to determine the growth in energy sales?**

2       A.    The growth in use of electricity comes from the overall growth in per capita  
3           use of electricity by all customers, shown on Document LEG-6, and the  
4           growth in the number of new customers, shown on Document LEG-5. The  
5           product of per capita use multiplied by the number of customers yields the  
6           NEL for a given period. The per capita use of electricity and the increased  
7           numbers of new customers both are linked directly to the performance of the  
8           local and national economy. When the economy is booming, use of electricity  
9           increases in all sectors: residential, commercial, industrial and others. A  
10          strong economy creates new jobs that attract new customers. New households  
11          develop, including those of retirees from other states. However, the reverse  
12          also holds. If the economy is performing poorly, customers with reduced  
13          incomes are more apprehensive as to expenditures and tend to restrict their  
14          consumption of goods and services. Electricity demand and sales slacken  
15          when income falls. Job contractions reduce the number of new customers  
16          coming to Florida seeking employment opportunities. New household  
17          formations are postponed.

18  
19          FPL relies on the outlook for the local and national economy produced by  
20          DRI-WEFA and the population growth forecast developed by the University  
21          of Florida.

22  
23       **Q.    What is FPL's process to forecast peak demand?**

1 A. The rate of absolute growth in FPL system load has been a function of a  
2 growing customer base, weather conditions, economic growth, customer  
3 behavior (including an increasing stock of electricity-consuming appliances)  
4 and more efficient heating and cooling appliances. FPL developed the Peak  
5 Forecast models to capture these behavioral relationships.

6  
7 The summer peak forecast is developed using an econometric model. The  
8 model is a per customer model that includes: the total number of FPL summer  
9 customers, the price of electricity, real Florida income as an economic driver,  
10 and maximum peak day temperature as a weather variable. The summer peak  
11 use per customer is shown on Document LEG-7. The model is estimated  
12 using an autoregressive term.

13  
14 Like the system Summer Peak model, the Winter Peak model is also an  
15 econometric model. The Winter Peak model is a per customer model that  
16 consists of three weather-related variables: (1) the minimum temperature on  
17 the peak day; (2) a weather term which is a product of heating saturation and  
18 minimum winter day temperature; and (3) Heating Degree Hours from the  
19 prior day until 9:00 a.m. of the peak day. In addition, the model also has an  
20 economic term, Real Florida Income. An indicator variable, which is used to  
21 capture the effects of larger homes being built, is multiplied by the minimum  
22 temperature. The winter peak use per customer is shown on Document LEG-  
23 8.

1 Monthly peaks are forecast to provide information for the scheduling of  
2 maintenance for power plants and fuel budgeting. This forecasting process is  
3 basically the same as for the monthly NEL forecast and consists of the  
4 following actions:

- 5 - Develop the historical seasonal factor for each month by using  
6 ratios of historical monthly peaks to seasonal peak (Summer =  
7 April-October; Winter = November-March).
- 8 - Apply the monthly ratios to their respective seasonal peak  
9 forecast to derive the peak forecast by month. This process  
10 assumes that the seasonal factors remain unchanged over the  
11 forecasting period.

12  
13 **Q. Is FPL's need for power driven by the demand forecast, the sales**  
14 **forecast, or both?**

15 A. FPL's need for resources, i.e. the amount of resources needed, is driven  
16 exclusively by the peak demand forecast because FPL's needs are currently  
17 determined by a reserve margin criterion. The sales forecast may have some  
18 influence on the type of resource needed.

19  
20 **Q. Is FPL's peak forecast, and its need for power, reduced by a short-term**  
21 **economic forecast that includes recovery from a recession?**

22 A. No, not to any great degree. While an economic downturn may temporarily  
23 slow customer growth and result in a permanent loss of some growth, it does

1 not permanently reduce growth rates. FPL will grow again at something  
2 closer to its historical rates now that the recession has passed. Unlike sales,  
3 customer usage on the day of the peak is barely influenced by other economic  
4 factors such as per capita income or unemployment rates.

5  
6 For example, Document LEG-6, shows in the recession between 1990 and  
7 1992, energy use per customer grew at a negative rate of 0.83% annually. At  
8 the same time, summer peak demand per customer grew at a positive rate of  
9 0.67% annually as shown in Document LEG-7. Further, in 2001 the summer  
10 peak forecast underestimated the peak forecast by 604 MW (+3.3%) while  
11 energy sales were over-estimated by 1.3%.

12  
13 **Q. How does FPL's projected rate of growth in peak demand compare to its**  
14 **historical growth?**

15 A. They are very similar. Using summer peak as the example and shown in  
16 Document LEG-3, FPL's peak demand grew from 14,661 MW in 1992 to  
17 18,754 MW in 2001, a 2.8% compound annual growth rate. For the forward-  
18 looking period, FPL is projecting a total peak demand of 22,687 MW by  
19 summer of 2010, which is a 2.1% compound annual growth rate. In absolute  
20 terms, the annual growth in summer peak between 1990 and 2001 was 444  
21 MW while the projected growth between 2002 and 2011 is 435 MW annually.  
22 Both periods' growths are very similar.

23

1 Looking more specifically at the growth in peak demand for the period  
2 resources are needed, FPL projects a peak demand unadjusted for incremental  
3 conservation or load management of 21,186 MW in 2006, which is a 2.3%  
4 growth rate, slightly below FPL's historical experience since 1992. So while  
5 FPL is not projecting peak demand growth as high as it experienced during  
6 the booming 1990's, FPL is projecting significant peak demand growth.

7  
8 **Q. Is FPL's load forecast reasonable for planning purposes?**

9 A. Yes. FPL's load forecast is based on reasonable assumptions and is consistent  
10 with historical experience and methodologies previously approved by the  
11 Commission.

12  
13 **Q. Please summarize your testimony.**

14 A. The projected level of demand and energy is in line with the observed levels  
15 of growth experienced in FPL's system. In developing this forecast, FPL  
16 relied on information from dependable sources, and the models employed to  
17 generate this forecast met the most stringent statistical tests used to evaluate  
18 the suitability of forecasting models. FPL's forecast of demand and energy is  
19 well founded and reasonable.

20  
21 **Q. Does this conclude your testimony?**

22 A. Yes, it does.

**Errata Sheet**  
**Direct Testimony of Leonardo Green**  
**Docket Nos. 020262-EI and 020263-EI**

<b>Page, Line</b>	<b>Correction</b>
3, line 4	Add that Dr. Green Co-sponsors Appendix C.



1 BY MR. HILL:

2 Q Could you please summarize your testimony?

3 A Madam Chairman, the purpose of my testimony is to  
4 present FPL's load forecasting process, what are the underlying  
5 assumptions and how is it we arrived at the projected level of  
6 peaks that are used in a need determination.

7 FPL has a service area; it's just over 27,000 square  
8 miles. We have a growing population base of just over  
9 4 million customers. In reality, that's 7.7 million people  
10 that we're serving. And we have a very unique mix of  
11 customers. We have -- 89 percent of our customers are  
12 residential, about ten percent are commercial and less than one  
13 percent the rest.

14 The way we arrived at the projection for FPL load is  
15 a very straightforward and objective process. We developed an  
16 econometric model; that is we tried to quantify a dependent  
17 variable, which is load, with some primary drivers like the  
18 economy, weather, price of electricity, et cetera. Once we  
19 have developed that relationship, which is straightforward and  
20 can be replicated by anyone, we secure from reputable sources  
21 information regarding the economy, what the price of  
22 electricity is going to be, what the weather is going to be,  
23 and we feed that into the model and we arrive at what load is  
24 going to be in any given year.

25 For example, to obtain assumptions regarding the

1 economy, we have been relying on DRI and Standard & Poor's.  
2 With regard to the weather, we use the NOAA, the National  
3 Oceanographic and Atmospheric Administration data. The price  
4 of electricity is just the Commission-approved base rates plus  
5 the fuel clauses. And the customer growth comes from the  
6 University of Florida; the projections of population are given  
7 to us by the University of Florida.

8           So we take all of these objective assumptions and we  
9 feed them into our model and that's how we arrive at what the  
10 summer peak is going to be.

11           I guess the best way to evaluate whether a forecast  
12 makes sense or not is to compare what has happened in the  
13 recent past with what we're projecting in the, for the future.  
14 And what we have arrived at is in the last ten years our summer  
15 peak has grown at the rate of 444 megawatts per year. We're  
16 projecting that for the next ten years it's going to grow at  
17 435 megawatts.

18           Similarly, the winter peak has grown at the same  
19 amount, 444 megawatts per year, and we're projecting a growth  
20 of 459 megawatts per year.

21           Given the similarity between what has recently  
22 happened and what we're seeing for the future, we believe that  
23 this is a good forecast and it should be used in this analysis  
24 of need determination.

25           And I'd just like to remind the Commission that the

1 summer peak is the one that drives the need for capacity. That  
2 ends my summary.

3 MR. HILL: Tender the witness for cross-examination.

4 CHAIRMAN JABER: Thank you. Mr. Moyle?

5 CROSS EXAMINATION

6 BY MR. MOYLE:

7 Q Mr. Green, I have a few questions for you related to  
8 your, your testimony.

9 Do you run the models that are the basis for your  
10 testimony?

11 A They're run under my supervision. I'm very much  
12 involved with how these numbers are arrived at.

13 Q But you don't actually run them?

14 A No.

15 Q Okay. Who does?

16 A I have several people working under my direction; one  
17 of which is Ms. Anita Sherman, another one is Mr. Harvey Salia  
18 (phonetic).

19 Q Okay. Do I understand correctly that the models that  
20 you run in the forecast are then used to put together like your  
21 ten-year site plan and how much power Florida Power & Light is  
22 going to need in the future?

23 A That's correct.

24 Q Okay. I had a question about your forecast of sales.  
25 Why are forecast sales used?

1           A     When I provide the forecast, I provide a complete set  
2 of numbers, including energy and peaks. The reason why the  
3 number was provided is this is the same forecast that's used  
4 for fuel cost recovery purposes, and they might use one  
5 component that might not be used in the need determination, but  
6 the forecast needs to tie. I would not produce a forecast for  
7 one purpose and another forecast for another purpose. I try to  
8 have the same set of numbers for all purposes in the company.

9           Q     You talk about the economic forecast and you use  
10 that. What does the -- do you know, if you know, what does the  
11 projections indicate with respect to FPL's economic growth for  
12 the year 2005?

13          A     What do you mean by "FPL's economic growth"?

14          Q     I'm sorry. Florida's economic growth.

15          A     The latest forecast is that we will continue to grow  
16 at a slow rate. You want more information?

17          Q     Yes. What's the percentage that you forecast through  
18 2005?

19          A     I don't have it with me here. I think it's the --  
20 there's several factors when you're looking at the economic  
21 projection: Per capita income, gross debt product, personal  
22 income. They're all very related, and I would, I would think  
23 that they're around 2.5 to 3 percent for the State of Florida.

24          Q     2.5 to 3?

25          A     Approximately.

1 Q Okay. The -- do you know -- I've been just following  
2 the news reports and what not. Did your model presume that we  
3 were coming out of a recession and that we would have recovery?

4 A That's the assumption, that's correct, that we will  
5 be coming out of a recession this year and then we'll return to  
6 some kind of a normal growth for the next few years.

7 Q Okay. And if I understood your testimony correctly,  
8 when the economy is down, then there's a reduced, slightly  
9 reduced demand for electricity; correct?

10 A That's correct.

11 Q Okay. So you didn't run the model with respect to  
12 whether we may be going into what they call a double dip  
13 recession; is that correct?

14 A No. But we looked at it extensively, and we don't  
15 believe that for Florida we will have a double dip recession.

16 Q Okay. And is that your belief or did you rely on  
17 somebody else for that?

18 A That is my belief and that is DRI's belief. DRI does  
19 not expect that we're going to have a double dip either for  
20 Florida or for the U.S. as a whole.

21 Q If we did have a double dip, then that would reduce  
22 the, the need in your forecast somewhat, would it not?

23 A If we had a double dip, it would reduce the need  
24 somewhat, yes.

25 Q Do you know if it would reduce it by 15 megawatts?

1 A It would.

2 Q On Page 10 of your testimony, Line 2, you state, "FPL  
3 projects a peak demand unadjusted for incremental conservation  
4 or load management of 21,186 megawatts in 2006." And the  
5 question I wanted to ask you is why don't you adjust for  
6 incremental conservation or load management?

7 A That is done at a later step, and that is what Dr.  
8 Sim does when he calculates the reserve margins.

9 My, my outlook is if nothing new is done, what is the  
10 total demand of electricity going to be in FPL's service  
11 territory? I don't take into consideration what new  
12 consideration programs are going to enter or what new load  
13 management programs will enter. My job is to say what the  
14 amount of electricity is going to be.

15 Q Okay. Do you know if you did take this number and  
16 adjust it for incremental conservation, whether your megawatt  
17 number would be reduced by more than 15 megawatts?

18 A I don't know. I don't know what's the level of  
19 conservation.

20 Q Okay. The same question with respect to load  
21 management, you don't --

22 A I don't know how much is that.

23 Q Okay. On Page 10 there at Line 17 you indicate that  
24 the models employed to generate this forecast meet the most  
25 stringent statistical tests used to evaluate the suitability of

1 forecasting models. What are those stringent statistical tests  
2 you're referring to?

3 A There are several tests that you use to evaluate a  
4 model, one of which is the R square (phonetic), which is how  
5 well has the variation in load been explained. These models do  
6 a good job of explaining approximately 94 percent of the  
7 variability in load.

8 Another statistical test that is used is the T  
9 (phonetic) statistics, that is is there a relationship between  
10 the variables that I'm using in the model and the variable I'm  
11 trying to explain, which is load. The variables that I've been  
12 using are the economy, price of electricity, weather and  
13 customer growth. And we have found that, yes, there is a  
14 significant relationship.

15 And, finally, the other statistical test that we look  
16 at is the error term (phonetic), how does the error term  
17 perform? Is it distributed normally, is it a constant variance  
18 over time, is there any presence of multicollinearity in your  
19 variables? All of that is examined. Once that is taken care  
20 of, then we say we have a good model.

21 Q Okay. So would I be correct then in assuming that  
22 the tests you use are unique to your model and couldn't be used  
23 on, on other models?

24 A All statistical models should perform those tests.

25 Q Okay. Do you know if the EGEAS model performed those

1 tests?

2 A That is a different type of model. This is a  
3 statistical, specifically multiple regression technique. The  
4 EGEAS model, as I understand it, is an optimization model,  
5 which is completely different from what I do.

6 Q It might be apples to oranges, I guess; right?

7 A Very much so.

8 Q Okay. I talked a little bit about the economy and  
9 the double dip recession that hopefully we will not have but  
10 some people think we may. Let me just ask a couple more  
11 questions and I think we'll be done. But with respect -- you  
12 indicated another key input is weather; is that right?

13 A That's correct.

14 Q How historically have you done with respect to  
15 predicting the weather? I mean, you always hear the weatherman  
16 being 50 percent right or right half the time. How, how have  
17 you done in terms of predicting the weather for your, for your  
18 growth?

19 A I have not tried to predict the weather. We have  
20 used whatever NOAA is suggesting that the average should be.  
21 Historically we have been above and below that average that  
22 NOAA suggests that we do.

23 I would say that in the last ten years it has been  
24 hotter than normal. In that case, I would say that on the  
25 weather side we have underforecasted what it should be.



1 Q Okay. Have you made an adjustment in the model,  
2 given that, that trend?

3 A I have not adjusted the model for weather. I used  
4 the same averages that NOAA provides us.

5 Q Okay. Thank you for your time. I appreciate it.

6 CROSS EXAMINATION

7 BY MR. MCGLOTHLIN:

8 Q Dr. Green, I'm Joe McGlothlin. I represent Florida  
9 PACE. I have several questions about your testimony. Let me  
10 refer you to Page 6 of your direct testimony. Beginning at  
11 Line 9 you say, "A strong economy creates new jobs that attract  
12 new customers. New households develop, including those of  
13 retirees from other states. However, the reverse also holds.  
14 If the economy is performing poorly, customers with reduced  
15 incomes are more apprehensive as to expenditures and tend to  
16 restrict their consumption of goods and services. Electricity  
17 demand and sales slacken when income falls. Job contractions  
18 reduce the number of new customers coming to Florida seeking  
19 employment opportunities. New household formations are  
20 postponed."

21 So you recognized in your testimony that economic  
22 conditions are a strong factor in your assessment of future  
23 growth of demand on FPL's system.

24 A The economy is very important. Right.

25 Q And in your testimony and I think in your summary you

1 say that, among other things, FPL relies on predictions or  
2 analyses by DRI; is that correct?

3 A That's correct.

4 Q When was your testimony prepared?

5 A My testimony was prepared sometime this year,  
6 approximately maybe June or before -- early this year. I don't  
7 remember exactly; maybe May/June time frame.

8 Q And of what vintage was the information from DRI that  
9 you had when you prepared the testimony?

10 A September 2001.

11 Q Have -- does FPL on a regular basis receive  
12 information from DRI?

13 A We do on a regular basis.

14 Q How regularly, how frequently?

15 A Monthly.

16 Q I'll refer you to Pages 7 and 8. I'm sorry. Pages  
17 8 and 9. Beginning at the bottom of Page 8 you say, "While an  
18 economic downturn may temporarily slow customer growth and  
19 result in a permanent loss of some growth, it does not  
20 permanently reduce growth rates. FPL will grow again at  
21 something close to its historical rates now that the recession  
22 has passed."

23 At what point in time were you referring when you  
24 made the statement "now that the recession has passed"?

25 A Let me explain a few things here, if I may.

1           Last year up to 9/11 when the nation was experiencing  
2 a serious slowdown, Florida economy was booming. Through  
3 August of last year when the U.S. economy generated 250,000  
4 jobs, Florida -- I'm sorry. The Florida economy -- the U.S.  
5 economy generating 750,000 jobs. The Florida economy had  
6 created 250,000, meaning to say that one out of every three  
7 jobs that were created in the nation were being created in  
8 Florida, to give you an idea of the strength of the Florida  
9 economy.

10           Come 9/11 there was a very pessimistic outlook.  
11 However, as of July of this year when the nation has lost  
12 approximately 2 million jobs, Florida is experiencing positive  
13 job growths in spite of the fact that we thought that it would  
14 be gloom and doom for the rest of this year.

15           Q     Yes, sir. My question was at what point in time were  
16 you referring when you said "now that the recession has  
17 passed"?

18           A     When I was preparing this, this document.

19           Q     All right. I have a document I wish to hand out. I  
20 don't believe I'm going to ask that it be made an exhibit, but  
21 I would like to pose a question based on it. Dr. Green, I'll  
22 just ask you to take a moment and familiarize yourself with it.

23           Dr. Green, I've provided to you a copy of an article  
24 appearing on Yahoo! Finance. The caption says, "CEOs see  
25 slower economic growth ahead." And I'll offer this as one of

1 the many examples we've seen in press coverage regarding what  
2 business leaders and some knowledgeable people see for the  
3 future.

4 Does this correspond with DRI's assessment that you  
5 receive periodically?

6 A This is what DRI is also saying. They're expecting  
7 slower growth in the economy, and our forecast is based on this  
8 assumption of a slow economic growth.

9 If, if the economy was performing the way it did in  
10 the '90s, my forecast would have been even higher than what it  
11 is.

12 Q Based upon the fact that sources including DRI more  
13 recently than at the time you compiled your testimony continue  
14 to see slower growth, do you have, do you believe that should  
15 lead you to revise your forecast that you presented today in  
16 any way?

17 A I think we went with a conservative forecast. There  
18 are so many arguments out there. Let me give you one that's  
19 gaining popularity out there. And I'm not sure I buy into this  
20 idea yet, but it's gaining a lot of popularity.

21 Come 9/11, okay, we were forecasting that the U.S.  
22 economy was going south. A lot of things happened. The  
23 government lowered interest rates by 175 basis points.  
24 Government expenditures shot up. There are quite a few  
25 economists out there that are saying that because of those

1 indirect effects, maybe the U.S. economy is doing even better  
2 than it would have had 9/11 not happened just because of the  
3 fiscal and monetary policy and government spending that has  
4 happened.

5           We have taken all of that into consideration. As I  
6 said, I think that my forecast is a conservative one. I think  
7 we have these assumptions built into our forecast.

8           Q     All right, sir. Again at Page 9 you say, "FPL will  
9 grow again at something closer to its historical rates now that  
10 the recession has passed." Suggesting that while the downturn  
11 affected the growth of FPL's business for a while, do you  
12 expect that will turn around and that things will ramp back up  
13 to the historical trend; is that correct?

14          A     That's correct.

15          Q     And later you say that you've projected a  
16 2.1 compound annual growth rate; is that correct?

17          A     Yes.

18          Q     I want to refer you to your document number LEG-3,  
19 Page 1 of 1, which is the forecast of summer peak.

20          A     Yes, sir.

21          Q     And looking at the lower part of the page, the  
22 forecast for years 2002 and 2011, the percent growth is on the  
23 right-hand column, is it not?

24          A     That's correct.

25          Q     And these are the ones that average 2.1 percent per

1 year?

2 A That's correct.

3 Q But isn't it true that this projection is somewhat  
4 front-end loaded in that the growth projections for 2003 and  
5 2004 are, are higher than the overall average of 2.1 percent?

6 A The reason why 2003 shows a substantial jump is  
7 because the price of electricity for 2003 is lower than the  
8 price of electricity for 2002. We had a rate reduction in  
9 2002; however, we believe that the full impact of a price  
10 reduction takes approximately three months. So we will usually  
11 peak in July or August, so the full impact of that price  
12 reduction has not been seen yet on our system. Next year when  
13 our customers see a much lower price of electricity, we'll give  
14 that growth rate.

15 In addition to the front, loading the front end as  
16 how you mentioned, we believe that our customer growth will  
17 begin to taper off some. We're getting much better growth now  
18 than what we expect to get around 2010 or 2011. So all of that  
19 put together is what is, in addition to the economy, the bigger  
20 customer growth right now, the lower price of electricity is  
21 great, in greater growth right now.

22 Q Would the lower price of electricity cause such a  
23 one-year blip as appears in 2003 relative to the other years?

24 A Not -- this is not only price of electricity. It's a  
25 combination of several factors. But, yeah, we have a concept

1 that we call price elasticity. On peaks we have a price  
2 elasticity of .18. So if we lower price by 7 percent, let's  
3 say, I have a price elasticity of .18, you're going to get  
4 approximately one and half percent growth just due to the  
5 effect of price. Allowing to that customer growth, and  
6 probably the economy coming back 2003 stronger than it is right  
7 now, I think that number makes sense.

8 Q In addition to the 3.3 percent that appears in 2003,  
9 you're projecting 2.3, 2.4, 2.3 for the years following, do you  
10 not?

11 A That's correct.

12 Q And would you agree that those figures, when applied  
13 to project the summer peak load, result in an indicated need  
14 that is greater than one would see if you applied the  
15 2.1 percent average compound growth throughout the entire  
16 period?

17 A I'd have to check that because what's going on here  
18 is the base is getting bigger. As the base gets bigger, you  
19 have to be very careful when you talk of percentages because a  
20 small percentage might correspond to even a larger growth in  
21 absolute value. I'd have to -- I would have to check that  
22 manually to see. But I think, I think that the 2.1 should be  
23 the average of the entire year, but I would like to check it  
24 mathematically.

25 MR. MOYLE: Madam Chair, while they're taking a

1 minute, I just want to bring to your attention -- Mr. Guyton  
2 and I talked, I think we've previously indicated, about trying  
3 to reach a stipulation about my need to ask questions of every  
4 witness as to whether they knew of a settlement agreement or  
5 not.

6 CHAIRMAN JABER: Yes, Mr. Moyle.

7 MR. MOYLE: And my understanding is that Mr. Guyton  
8 and I have agreed that I do not have to ask that question of  
9 all of the witnesses because the answer would be they do not  
10 know, with one exception.

11 And so given what I -- with that, my understanding,  
12 I've forgone asking those questions. If that's not accurate,  
13 then I'd like to just preserve the record and ask the  
14 questions. But I think we're trying to save time with that  
15 kind of agreement.

16 CHAIRMAN JABER: What's the exception? You said with  
17 one --

18 MR. MOYLE: One witness. There's one witness that  
19 may know the answer and I'm going to ask that witness.

20 CHAIRMAN JABER: Thank you, Mr. Moyle. Mr. Guyton,  
21 is that correct?

22 MR. GUYTON: With, with that correction at the end,  
23 that the witness may know, yes.

24 CHAIRMAN JABER: Thank you.

25 BY MR. MCGLOTHLIN:



1 Q Dr. Green, on the subject of the difference one would  
2 see if one applied the 2.1 percent compound annual through the  
3 period, it's our belief that that would translate into a summer  
4 peak for 2005 that is lower by about 400 megawatts than the  
5 20,719 megawatts. Does that appear to you to be a reasonable  
6 estimate of the application of the 2.1 percent?

7 A I cannot buy into applying that. For those years  
8 we're projecting 3.3, 2.3, 2.4 and 2.3. So if I applied 2.1, I  
9 am going to arrive at a much lower number as, as how you have  
10 done.

11 Q You agree that the number would be lower, but you  
12 don't agree with the application of the number?

13 A I do not agree with the application.

14 MR. McGLOTHLIN: That's all the questions we have.

15 MR. PERRY: No questions.

16 CROSS EXAMINATION

17 BY MR. TWOMEY:

18 Q Good morning, Dr. Green.

19 A Good morning.

20 Q In your opening statement or your summary of your  
21 testimony you said that your forecast methodology was very  
22 objective; correct?

23 A That's right.

24 Q Okay. Let me ask you if you use the same data  
25 sources and the same forecast methodologies in producing your

1 peak load forecasts in both your 2001 and 2002 ten-year site  
2 plans?

3 A The assumptions were slightly different between both  
4 forecasts. But the modeling, the model itself with minor  
5 updates because of one year more of data should be the same.  
6 However, the assumptions that went into 2001 and 2002 were  
7 slightly different.

8 Q And who creates the assumptions?

9 A Those are the assumptions that I get from DRI, from  
10 NOAA, from the University of Florida and the  
11 Commission-approved rates.

12 Q Okay. You do, however, on occasion insert  
13 handwritten or somewhat subjectively unique load drivers in  
14 your forecast, do you not?

15 A Yes.

16 Q For example, in -- you don't -- do you have  
17 Appendices A through D?

18 A I should have one. May I borrow one from you?

19 MR. HILL: Yeah. Of course.

20 THE WITNESS: Thank you.

21 BY MR. TWOMEY:

22 Q If you would turn to Page D-36, Dr. Green. And this  
23 particular site plan is your 2001 addition; correct?

24 A This site plan for the need determination, is that  
25 2002?

1 Q No. I'm sorry. The one I'm asking you to look at is  
2 your 2001 ten-year site plan; correct?

3 MR. HILL: Mr. Twomey, I'm sorry. Could I have again  
4 the reference where you are?

5 MR. TWOMEY: Yes. Let me make sure I'm right here.  
6 The -- I've asked him to look at Page D-36 in Appendix D, and  
7 I'm asking him is this not a page out of the 2001 ten-year site  
8 plan.

9 THE WITNESS: This is 2001.

10 BY MR. TWOMEY:

11 Q Right. That's reflected on Page D-1; right?

12 A That's right.

13 Q Okay. And on, on Page D-36, however, I wanted to ask  
14 you with reference to the bottom paragraph, the last paragraph  
15 on that page that talks about the rise of the  
16 telecommunications industry. Okay? And essentially that says,  
17 does it not -- let me read the -- or if you'd read down at the  
18 bottom where it starts with, "For example." Page D-36 where it  
19 says, "For example."

20 A I'm sorry, I'm on D-37. D-36.

21 "For example, FPL's 2000 forecast includes an  
22 estimate that in three years the new load attributed to telecom  
23 facilities would reached as much as 570 megawatts."

24 Q Okay. And it goes on. It says, "This additional  
25 load in its entirety was treated as a line item adjustment and

1 was added to FPL's 2000 energy and peak forecast." Correct?

2 A That's correct.

3 Q Okay. So that was, that would be an example, would  
4 it not, of something that you thought was, warranted a line  
5 item adjustment and it was made; correct?

6 A That's correct.

7 Q Okay. Now let me ask you this. The -- did that  
8 telecommunications load and energy come to pass?

9 A No, it did not.

10 Q Because things kind of --

11 A The telecom industry went south.

12 Q Went south. Right. Now is that -- did you, did you  
13 line out that adjustment?

14 A Let me --

15 Q Have you since lined out the adjustment? Pardon me  
16 for interrupting.

17 A For the new forecast we did not include 570 megawatts  
18 of telecom load. That's correct.

19 Q But did you -- but my question is if there's a  
20 difference, did you take out the 570 that you put in in the  
21 year 2000?

22 A Let me explain the rationale that I used, please, in  
23 2002.

24 In the summer of 2001 our forecast was approximately  
25 600 megawatts higher than what we forecasted. What we did then

1 in the, when putting together this forecast is, yes, I have to  
2 adjust, each year I have to adjust my forecast from my most  
3 recent actual value, what actually happened in 2001.

4           So I start out with 600 megawatts higher than my  
5 prior year because I missed it by 600 megawatts. However, when  
6 I was putting together this forecast, I did not expect to  
7 obtain this 570 megawatts. So instead of adjusting up my  
8 forecast by 600 megawatts, the net effect was to adjust it up  
9 by only 300 megawatts once I removed a substantial portion of  
10 the telecom load from my 2002 forecast.

11           So, yes, I removed almost -- I think I remained with  
12 about between 60 to 90 megawatts of telecom load in this  
13 forecast. I reduced it. But the net effect, the net effect of  
14 all of this is a higher forecast by about 300 megawatts just  
15 because of what happened in 2001.

16           Q     Okay. And so I can be sure I understand that, it's  
17 your testimony that you each year adjust your next year's  
18 forecast by the amount that you know you missed in the previous  
19 site year plan; is that correct?

20           A     I -- it's a little more detailed than that.

21           If I had missed by 600 megawatts and the temperature  
22 was 100 degrees, I would not have adjusted because it was due  
23 to abnormally hot weather. However, after I look at the  
24 economy, I look at the weather, I look at prices and everything  
25 was in line, that suggests that I need to make an adjustment to

1 my forecast. And that's what's happened in 2001, just that I  
2 needed an adjustment to my forecast.

3 Q Yes, sir. But to the extent that you do those  
4 things, those are, those are somewhat objective, although they  
5 use your professional expertise in determining how to, to  
6 employ them; is that correct?

7 A It's very objective because when I have one more year  
8 of data, I resubmit my model now including 2001. So my model  
9 would have changed because I now have a 2001 value that's much  
10 higher than was in 2000.

11 The statistical model will pick that up automatically  
12 what happened in the system. And if you -- the forecast that  
13 the model will give without me having to do anything to it just  
14 because it was actualized to that 2001 number will give you a  
15 higher forecast approximately by 600 megawatts.

16 Q Okay. Now I want to try and understand something  
17 more clearly that you testified to in response to  
18 Mr. McGlothlin. Tell me if this is not correct.

19 I think I heard you tell Mr. McGlothlin that your  
20 prefiled direct testimony was prepared in May or June of this  
21 year; is that correct?

22 A The testimony, this document, yes. My forecast was  
23 put together, however, in late September of last year.

24 Q The forecast contained within your, in your exhibits?

25 A That's correct.

1 Q Okay. And, and you told Mr. McGlothlin, I believe,  
2 and tell me if this is correct, if I heard correctly, that you  
3 used DRI data from September 2001 in your forecast,  
4 notwithstanding the fact that you received DRI data monthly?

5 A That's correct.

6 Q Okay. And let me ask you this, the, the DRI data  
7 that is described as being September, did that data submission  
8 reflect activities prior to or subsequent to 9/11?

9 A Subsequent to 9/11.

10 Q Subsequent to. Okay. Would you look at your -- have  
11 you, have you -- on that, the September 2001 DRI data, have you  
12 looked at that data and compared it to what you would have seen  
13 in the, in the most recent DRI data?

14 A That's right. I do that on a regular basis.

15 Q And how, how do the two compare in terms of  
16 forecasting?

17 A The numbers that I used in my forecast are more  
18 conservative than what's happening right now.

19 Q Now your 2002 ten-year site plan was, was filed in  
20 April of this year.

21 A That's correct.

22 Q What, what, what vintage DRI data would you use in  
23 preparation of the site plan?

24 A I would use the same set of information of late  
25 September 2001.

1 Q Okay. That's been your, that's been your practice to  
2 use that much of a delayed vintage in preparing your site  
3 plans?

4 A That's right.

5 Q Would you look at your Exhibit LEG-3, Dr. Green?

6 A Yes.

7 Q Mr. McGlothlin asked you a number of questions on  
8 this, and I just have a question aside from what he spoke to in  
9 terms of the 2.1 percent compound average growth rate.

10 If you know, why does, why is the absolute growth  
11 figure for the year 2005 larger than it is for the prior and  
12 subsequent year?

13 A I would suggest it's a combination of several  
14 factors. I would have to look at the exact, the exact  
15 assumptions that were used from the DRI: What's the real price  
16 of electricity during that year, what's the inflation that  
17 year? So it's a combination of all of those that produce that  
18 493 growth in 2005.

19 Q Okay. But whatever the collective reasons, they  
20 result in a little spike or a little blip there in that  
21 2005 year; right?

22 A Yes.

23 Q Okay. Let's turn to the next page, which is LEG-4,  
24 please.

25 A Yes.



1 Q Now this shows -- this exhibit purports to show the  
2 winter peak. And the same spike or blip occurs in the year  
3 2005; correct?

4 A That's correct.

5 MR. TWOMEY: One second, Madam Chairman.

6 BY MR. TWOMEY:

7 Q Sir, do you have a pencil?

8 A Yes, I do.

9 Q Pen? Would you, would you take the figure in  
10 absolute growth just for the winter -- this just struck me --  
11 for 2005 and subtract from it the figure, the prior year, 2004?

12 A That is take 20,480 and subtract --

13 Q No. I'm sorry. The absolute growth.

14 A Oh, 441 minus 426?

15 Q Yes, sir. What does that give you?

16 A 15 megawatts.

17 Q Okay. And on LEG-5, the same, the same -- now that  
18 purports to show -- what does that show, Dr. Green? That's  
19 total customers. There's -- that's total customer growth per  
20 year?

21 A Right.

22 Q Okay. And for whatever the reasons in the, the  
23 econometric model that you used, the customer growth in that  
24 year is greater than the prior and subsequent year; correct?

25 A That's correct. And there's a reason for that.

1 Q Okay.

2 A The University of Florida provides five-year  
3 intervals. Okay. So they'll give us 2000, 2005, 2010, and we  
4 simply do a linear interpolation between years to try and  
5 smoothen it as much as possible. Most likely what they have  
6 done is adjusted 2005 up because I think these might include  
7 pre, post-census data. So each year they provide you an  
8 update, a five-year interval update.

9 So most likely what this, what's happening here is  
10 that the University of Florida number might have jumped  
11 slightly in the year 2005.

12 Q They do that every five years?

13 A They do that every year, but they only give you  
14 five-year intervals. They won't give you an annual projection.  
15 They'll give you five-year intervals.

16 Q Okay. Let me ask you this, if you know. Typically  
17 on your system how many, how many households can be served at  
18 peak by 15 megawatts?

19 A Approximately 3,000 households.

20 Q 3,000?

21 A Uh-huh.

22 Q Okay. Now this is -- if you go to page, your exhibit  
23 LEG-6, and I'll be about finished.

24 I understand -- this, this exhibit shows net energy  
25 for load per customer; correct?

1 A That's correct.

2 Q Now I understand, Dr. Green, that there's a  
3 difference, different drivers, if you will, between what  
4 results in an increase in your peak load versus the factors  
5 that affect your energy sales; right?

6 A It's complete -- two different animals.

7 Q But why, why for the year 2005, if you know, on this  
8 exhibit do you show a lower load or sales per customer than you  
9 have for the prior and subsequent year when all the rest of the  
10 exhibits show increased peak demand?

11 A This is net energy for load per customer.

12 Q Right.

13 A Okay. We have a long-term model and a short-term  
14 model. The short-term model goes out five years. What we do  
15 is for the -- we make a transition from the short-term to the  
16 long-term five years out. So all, all this is showing here is  
17 that in this energy for load we're showing lower growth rate  
18 from the year 2007 onward.

19 Q Yes. But does that explain the question I just asked  
20 you about why 2005 is lower than, than it is for 2004 or either  
21 2006 is where they fall off? See there's -- whereas, the rest  
22 of the, rest of your exhibits that we just discussed previously  
23 show a slight peak or spike going from 2004, 2006, this  
24 document, if I'm reading it correctly, shows a valley; is that  
25 correct?

1           A     What you're saying is that from 2004 to 2005 that the  
2 net energy for load fell slightly, the growth?

3           Q     Yes. Yes. And then it goes back up in 2006;  
4 correct?

5           A     That's possible. That's a, that's a very small  
6 change. However, I need to clarify something. This is net  
7 energy.

8           CHAIRMAN JABER: Dr. Green, I'm going to let you  
9 explain. But the question is very specific: Do you know why  
10 the number decreases from 2004 to 2005?

11           THE WITNESS: I would have to check my numbers. I do  
12 not know offhand.

13           MR. TWOMEY: That's all I have, Madam Chairman.

14           CHAIRMAN JABER: Thank you, Mr. Twomey.

15           MR. HARRIS: Commissioners, we just have a few  
16 questions.

17           CHAIRMAN JABER: Go ahead.

18                                   CROSS EXAMINATION

19 BY MR. HARRIS:

20           Q     Dr. Green, we're going to hand you a document that's  
21 been marked as Exhibit 19 for hearing. I believe a copy has  
22 already been passed out as part of the packet earlier.

23           CHAIRMAN JABER: Exhibit 19, this is FPL's response  
24 to staff Interrogatory Number 35.

25           MR. HARRIS: That's correct, Chairman.

1 BY MR. HARRIS:

2 Q Are you familiar with this document at all, Dr.  
3 Green?

4 A Yes, I am.

5 Q Okay. To the extent that you know, are you familiar  
6 at all with the FMPA contract listed in this document?

7 A Very general knowledge.

8 Q Do you -- are you aware of what the capacity of the  
9 sale is in this contract?

10 A The way I incorporate this in my forecast -- I could  
11 tell you about how I incorporate it in my forecast.

12 Q Okay. If you could do that for me basically.

13 A My understanding is that FPL, due to a settlement,  
14 and I don't know what's the reason of the settlement, we agreed  
15 to sell FMPA 75 megawatts of capacity, and I understand that  
16 the rate at which we're selling the price associated with this  
17 sale is somewhat favorable to FMPA.

18 And I assume that given that the price is so good  
19 that they're going to be taking this 75 megawatts 24 hours a  
20 day through the extension of their contract.

21 Q For purposes of your forecast or for purposes of the  
22 ten-year site plan, would this sale be a decrease in capacity  
23 or an increase in load forecast?

24 A This is a line item adjustment where I increase my  
25 forecast by 75 megawatts.

1 Q So it would be an increase to your forecast?

2 A Right.

3 Q Do you have any general knowledge of when this  
4 contract was negotiated and signed?

5 A I don't remember exactly. I know it was in my  
6 2001 plan and it's in my 2002 plan.

7 MR. HARRIS: That's all the questions I have. Thank  
8 you.

9 CHAIRMAN JABER: Commissioners? Redirect.

10 MR. HILL: Very briefly.

11 REDIRECT EXAMINATION

12 BY MR. HILL:

13 Q You were asked a question by Mr. Twomey at the end  
14 there concerning your exhibit. I believe it was 7, was that  
15 the -- or I believe it was Number 6 on the net energy for load  
16 per customer.

17 A That's right.

18 Q And he asked you whether you knew why there was a  
19 change in Column 3 for absolute growth for year 2004 to 2005.

20 Did you have a further explanation that you wish to  
21 offer to the Commission?

22 A Yes. Statistically 429 and 422, there's no  
23 difference. The models are not that accurate that you can  
24 distinguish between 429 and 422. They're -- for all practical  
25 purposes, if I'm going to sell 27,000 megawatts, a difference

1 of 7 megawatts is asking too much of the model to, to add in  
2 the fire. However, what I wanted to clarify was that here  
3 we're talking of net energy for load. Net energy for load has  
4 no play whatsoever in a need determination. A need  
5 determination is based solely on peak demand forecast. Net  
6 energy for load has no play in the need determination.

7 Q And on that point, the peak, the peak determination  
8 that this proceeding is to be concerned with is the summer  
9 peak; is that right?

10 A Is the summer peak.

11 MR. HILL: No further questions.

12 CHAIRMAN JABER: Thank you, Mr. Hill.

13 We've got exhibits. Thank you, Dr. Green.

14 THE WITNESS: Thank you.

15 CHAIRMAN JABER: Exhibit 19, staff. Without  
16 objection, Exhibit 19 is admitted into the record.

17 (Exhibit 19 admitted into the record.)

18 CHAIRMAN JABER: FPL Exhibit 20 is LEG-1 through  
19 LEG-8. Without objection, Exhibit 20 is admitted into the  
20 record.

21 (Exhibit 20 admitted into the record.)

22 CHAIRMAN JABER: We're going to break here for lunch.  
23 We'll come back at 1:00.

24 (Transcript continues in sequence with Volume 5.)  
25

1 STATE OF FLORIDA )  
2 :  
3 COUNTY OF LEON )

CERTIFICATE OF REPORTER


4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, LINDA BOLES, RPR, Official Commission Reporter, do hereby certify that the foregoing proceeding was heard at the time and place herein stated.

IT IS FURTHER CERTIFIED that I stenographically reported the said proceedings; that the same has been transcribed under my direct supervision; and that this transcript constitutes a true transcription of my notes of said proceedings.

I FURTHER CERTIFY that I am not a relative, employee, attorney or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorneys or counsel connected with the action, nor am I financially interested in the action.

DATED THIS 4th DAY OF OCTOBER, 2002.

  
LINDA BOLES, RPR  
FPSC Official Commissioner Reporter  
(850) 413-6734