

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION

In the Matter of

PETITION TO DETERMINE NEED FOR
AN ELECTRICAL POWER PLANT IN
MARTIN COUNTY BY FLORIDA POWER &
LIGHT COMPANY

DOCKET NO. 020262-EI

PETITION TO DETERMINE NEED FOR
AN ELECTRICAL POWER PLANT IN
MANATEE COUNTY BY FLORIDA POWER &
LIGHT.

DOCKET NO. 020263-EI

ELECTRIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 6

PAGES 681 THROUGH 827

PROCEEDINGS:

HEARING

BEFORE:

CHAIRMAN LILA A. JABER
COMMISSIONER J. TERRY DEASON
COMMISSIONER BRAULIO L. BAEZ
COMMISSIONER MICHAEL A. PALECKI
COMMISSIONER RUDOLPH "RUDY" BRADLEY

DATE:

Thursday, October 3, 2002

TIME:

Commenced at 8:30 a.m.

PLACE:


Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY:

Jane Faurot, RPR
Official Commission Reporter

APPEARANCES:

(As heretofore noted.)



I N D E X

WITNESSES

	NAME:	PAGE NO.
1		
2		
3		
4	WILLIAM E. AVERA	
5	Redirect Examination by Mr. Litchfield	698
6		
7	DONALD R. STILLWAGON	
8	Direct Examination by Mr. Butler	711
9	Prefiled Direct Testimony Inserted	713
10	Cross Examination by Mr. Moyle	730
11		
12	GERALD YUPP	
13	Direct Examination by Mr. Hill	749
14	Prefiled Direct Testimony Inserted	751
15	Cross Examination by Mr. Moyle	763
16	Cross Examination by Mr. McGlothlin	769
17	Cross Examination by Ms. Brown	771
18		
19	ALAN S. TAYLOR	
20	Direct Examination by Mr. Nieto	773
21	Prefiled Direct Testimony Inserted	776
22	Cross Examination by Mr. Moyle	773
23	Cross Examination by Mr. McGlothlin	811
24	Cross Examination by Mr. Harris	816
25	Redirect Examination by Mr. Nieto	820

EXHIBITS

NUMBER:		ID.	ADMTD.
22			710
23	DRS-1 through DRS-3	711	748
24	AST-1 and AST-2	775	823
25	Agreement between Sedway Consulting and Steel Hector	823	823

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

1
2 (Transcript continues in sequence from
3 Volume 5.)

4 WILLIAM E. AVERA

5 continues his testimony under oath from Volume 5:

6 COMMISSIONER BRADLEY: May I ask a follow-up to that?

7 COMMISSIONER DEASON: 13.25. I'm sorry?

8 THE WITNESS: 15. 13.15.

9 COMMISSIONER DEASON: 13.15.

10 THE WITNESS: Yes, sir.

11 COMMISSIONER DEASON: Do you know if 13.15 percent
12 had been the cost of equity utilized in evaluating the
13 self-build options versus the bids that were received, would
14 the self-build option still be the most cost-effective?

15 THE WITNESS: I don't know that of my own personal
16 knowledge. My belief is given the kind of divergence that has
17 developed between the economics of the self-build options and
18 the purchased options, it would surprise me if that change in
19 the cost of equity would make that much effect to close that
20 gap, but I can't say because I just don't have a sense of --

21 COMMISSIONER DEASON: But you do agree that the
22 higher the return on equity the most costly the self-build
23 option becomes in comparison to the purchase options?

24 THE WITNESS: It does, but there are two offsetting
25 effects, Commissioner Deason. One effect is the revenue

1 requirements of having a higher return on equity increases the
2 revenue requirements, but you also use the cost of capital to
3 discount the revenue requirements to present value. So you
4 would be increasing the discount rate somewhat. So that
5 increase in the discount rate would serve to offset some of the
6 higher revenue requirements associated with a higher equity
7 return.

8 CHAIRMAN JABER: Commissioner Bradley had a followup.

9 COMMISSIONER BRADLEY: Yes. In terms of a revenue
10 sharing agreement, what would the ROE be for the bidder versus
11 Florida Power and Light?

12 THE WITNESS: Well, I think the bidder --

13 COMMISSIONER BRADLEY: Let me tell you what I'm
14 getting at. I think I heard what you said. You said that -- I
15 guess the self-build option, the average ROE would be 11.7?

16 THE WITNESS: Yes, Commissioner.

17 COMMISSIONER BRADLEY: Okay. Now, in terms of
18 revenue sharing, because both would have to see this as a
19 profitable venture, what would the ROE be for both of the
20 respective parties?

21 THE WITNESS: Well, the ROE for a bidder is whatever
22 they can earn. I mean, the Commission does not have oversight
23 or I don't believe you would even be able to find out what the
24 return on equity of the independent power producer would be.
25 It would be whatever it is. What is left over after they pay

1 their cost and collect their revenue. Presumably, the
2 independent power producer when they are deciding what to put
3 on the table in terms of prices, they have done their economics
4 and decided what their return on equity is. And they wouldn't
5 put the bid on the table I suppose if the return on equity that
6 they thought they were going to get was not acceptable, it
7 didn't meet their needs.

8 Now, one thing that is important about this return on
9 equity, if you ignore the equity premium so that the
10 independent power producer doesn't have to bear the cost of the
11 effect on the balance sheet, you are effectively allowing the
12 independent power producer to get the benefit of that extra
13 return. So you would allow the independent power producer
14 essentially to win the bid at a higher rate of return on equity
15 than would be the case if you recognized the equity penalty.
16 That is why in some sense eliminating the equity penalty would
17 represent a subsidy to independent power producers. It would
18 give them an opportunity to earn a higher return than they
19 would otherwise earn.

20 CHAIRMAN JABER: Let's break that down a little bit.
21 Let me back up. Commissioner Bradley, I think the revenue
22 sharing agreement that Mr. Avera is talking about in his
23 testimony is the one we approved. I don't think you are
24 referring to any agreement between you and the IP, is that
25 correct?

1 THE WITNESS: That is correct. I am talking about
2 the settlement in April and the previous settlement in 1999.

3 CHAIRMAN JABER: That's right. The approved ROE from
4 this Commission of 11.7 which provides certainty to investors
5 because you have been given the opportunity through the
6 regulatory process to earn up to 11.7 percent ROE.

7 THE WITNESS: The company has the ability to earn
8 higher rates of return if they can achieve that with better
9 performance. That's my understanding of the revenue sharing.

10 CHAIRMAN JABER: That is correct. You bring that up,
11 there is that opportunity to do better and share with the
12 customers.

13 THE WITNESS: Yes, that is my understanding.

14 CHAIRMAN JABER: Now, in the IPP world, which is
15 not -- under the current statutory framework there are risks
16 that the IPPs have that there is no guarantee that they will
17 earn on their cost and on their risk.

18 THE WITNESS: That is correct. They make a business
19 decision and make their bet and they have to live with it.

20 CHAIRMAN JABER: But I want to keep coming back to as
21 it relates to the bidders, Doctor Avera, your concerns are not
22 just to the IPPs, are they? You would apply that equity
23 penalty to a regulated IOU that enters into a purchased power
24 agreement with you.

25 THE WITNESS: That is correct. I think the equity

1 penalty should be applied whenever the purchased power
2 agreement has the effect of altering the effective capital
3 structure. I think to the extent you had a bid that was like a
4 turnkey bid where FPL would buy a plant, that doesn't have an
5 equity penalty because it doesn't have a balance sheet effect.
6 You would finance that with a mix of debt and equity. But any
7 purchased power arrangement that has this balance effect should
8 be reckoned with an equity penalty in my view.

9 CHAIRMAN JABER: And I really need to understand that
10 clarification, so I appreciate it. You are not saying that the
11 investors look at that off-balance sheet obligation as a higher
12 concern because you might enter into a purchased power
13 agreement with an IPP versus how they would look at it when you
14 enter into a purchased power agreement with another regulated
15 IOU?

16 THE WITNESS: That is correct. Now, as we discussed
17 earlier, Chairman Jaber, the risk factor that might be applied
18 to the payments to bring them to a debt equivalent would be
19 affected by, you know, who the arrangement is and the nature of
20 the arrangement. But whether there would be an effect or not,
21 it doesn't matter if it is an IOU, an IPP, a co-op, a
22 municipal, TVA. You know, when a utility locks themselves into
23 these fixed payments there is some off-balance sheet effect.

24 CHAIRMAN JABER: Go ahead, Commissioner Bradley.

25 COMMISSIONER BRADLEY: I want to go back to the terms

1 of these purchased power contracts in terms of years. One of
2 the problems that California had is that they did short-term
3 contracts instead of long-term contracts. Are you telling me
4 that short-term is the standard?

5 THE WITNESS: No, sir. I think as our discussions
6 earlier today and with Commissioner Palecki, I think a
7 diversification is good, and I think a time diversification is
8 good also. To have a mixture of contracts that are expiring at
9 different periods in time so the utility is not faced with a
10 cliff where they have to replace a lot of power in a short
11 period of time. So I think a mix of contracts is good, and I
12 think it is a good thing that the RFP allowed this flexibility
13 of different offers to come forward.

14 I think what we have learned from California is that
15 you ought to give the utilities some flexibility in having
16 contracts of different lengths, because my understanding of the
17 California deal is they said, you know, you are going to buy
18 power essentially on an hourly basis with very few exceptions.
19 So the utility was faced in a position where when the market
20 prices mushroomed, the prices that they paid went right up
21 through the ceiling, and they were not able to protect their
22 customers by having longer term arrangements.

23 COMMISSIONER BRADLEY: In terms of a short-term
24 contract, and that means that if you entered into a short-term
25 contract, say, of three years, that means that potentially you

1 could be putting out another RFP to be bid on by another IOU or
2 an IPP to replace that power source if you all could not reach
3 a mutual agreement in terms of terms and conditions of a new
4 and extended contract?

5 THE WITNESS: Yes, Commissioner. I think that is one
6 of the problems or opportunities that go with a short-term
7 contract is that you are locking things in for a few years and
8 at the end of that few years both sides have to look at their
9 cards again and make a new commitment, or the IPP has to find a
10 new customer.

11 COMMISSIONER BRADLEY: Or you have to find a new
12 source of --

13 THE WITNESS: And at the same time if you still have
14 the need, the utility has to find a new source of power.

15 COMMISSIONER BRADLEY: Okay.

16 COMMISSIONER DEASON: Back to my question. I think
17 that I asked you about the higher ROE, and that you agreed that
18 the higher the ROE used in the cost-effectiveness calculation
19 that the higher the self-build option becomes in relation to
20 the bid. Now, you qualified that by indicating that the higher
21 ROE would be utilized in calculation of the discount rate.

22 THE WITNESS: Yes, sir.

23 COMMISSIONER DEASON: Did I summarize your answer
24 correctly?

25 THE WITNESS: Yes, Commissioner Deason.

1 COMMISSIONER DEASON: Now, I have a further question
2 about the discount rate effect of that. It appears to me, and
3 correct me if I'm wrong, it appears to me that in the
4 self-build option you have more of your revenue requirement
5 front end loaded in the sense that you have a large capital
6 expenditure that you make and you put it into rate base and you
7 start earning a rate of return on that amount. And that
8 through time as you depreciate that down, well, then the
9 revenue requirements go down. In the later years you have a
10 lower revenue requirement and it is those later years that you
11 have the effect of the higher discount rate come into play.
12 Versus a fixed payment arrangement with a bidder where -- I
13 know that there may be some slight escalation amounts, but
14 generally it is more of a fixed yearly payment arrangement.
15 Would you agree with that?

16 THE WITNESS: I generally agree that the self-build
17 option would have the declining rate base effect as you
18 depreciate off, so in the outer years the discount rate has
19 less money to effect. And that is why I generally believe that
20 the higher cost of equity would result in a higher present
21 value revenue requirements for the self-build option. I don't
22 believe the discount rate change would offset that, I just
23 think it would attenuate it. You know, kind of make it not as
24 great as it might appear on the surface.

25 COMMISSIONER DEASON: And to make sure I'm clear, I

1 asked you the question whether the use of a 13.15 percent would
2 make the self-build option not the most cost-effective, and you
3 do not know the answer to that?

4 THE WITNESS: I do not know given the spread in
5 economics, but let me make sure, Commissioner, that -- I think
6 if you use the 13.15 in the self-build option you ought to use
7 the 13.15 in the equity penalty calculation. I think it is
8 very important that there be consistency in the way you are
9 viewing the self-build option and the way you are viewing the
10 purchased power option.

11 COMMISSIONER DEASON: But if you use it in the -- the
12 equity penalty, of course, is a 40 percent factor applied to
13 that, and then an equity portion to equalize that out, and that
14 is a much lesser amount as opposed to the effect of 13.15
15 percent as 55 percent of one's capital structure. Would you
16 agree with that?

17 THE WITNESS: It probably would be less, but I think
18 a little bit like the discount rate, but I think probably more
19 so. I think it would be a more significant adjustment, because
20 remember in step four of the equity penalty you calculate the
21 cost of the extra equity and that is based on the spread
22 between your cost of equity and your cost of debt. So if you
23 increase that spread, you are going to increase the equity
24 penalty cost.

25 COMMISSIONER DEASON: Thank you.

1 CHAIRMAN JABER: Commissioner Palecki and then
2 redirect.

3 COMMISSIONER PALECKI: If a bidder in this RFP
4 process had submitted a bid that transferred equity to Florida
5 Power and Light over a period of time, some sort of lease to
6 own arrangement, under your theory the equity penalty would not
7 then be applicable, correct?

8 THE WITNESS: I think the equity penalty could be
9 applicable. I think you would have to take account of the
10 equity effect and it would certainly be part of the calculation
11 and it might make it a much smaller number.

12 COMMISSIONER PALECKI: But if there was a long-term
13 payment stream of 25 years and at the end of the 25 years
14 Florida Power and Light owned the entire plant, then you would
15 have no equity penalty, would you?

16 THE WITNESS: No, I'm not sure you would have no
17 equity penalty, Commissioner, because I think what investors
18 would do is discount those fixed obligations out for the 25
19 years, and that would be an off-balance sheet liability and
20 then they would look at the equity effect of getting the
21 ownership of the plant and discount that back. And I think in
22 part maybe apply some adjustment to it, as well. So, you would
23 have some effect on the equity side of the balance sheet, some
24 effect on the liability side, and I think the net effect would
25 just depend on how the numbers worked out.

1 COMMISSIONER PALECKI: What if instead of after 25
2 years there was full ownership, it was a ramp where the actual
3 amount of equity would be paid for and transferred over to
4 Florida Power and Light on a smooth ramp?

5 THE WITNESS: And this is a new idea and I'm trying
6 to get my head around it here, Commissioner. It would seem
7 that the equity transfer that would occur at the end of 25
8 years would have to take account of the depreciated value of
9 the plant and the fact that it is 25 years out from an
10 investor's perspective. You would have to discount that back
11 to some notion of present value in terms of determining how
12 much today's equity equivalent it would be.

13 COMMISSIONER PALECKI: I think there has already been
14 some testimony to this effect, and I don't remember the answer,
15 maybe you could clear this up for me. Were the bidders to the
16 RFP, the people who put forth proposals aware of the amount of
17 the equity penalty at the time they made their proposals?

18 THE WITNESS: Commissioner Palecki, I don't know if
19 they were aware of it. Certainly what FPL did was consistent,
20 even the same 40 percent risk factor with what Florida Power
21 Corporation used in their Hines 2 case in 1999 or 2001. So if
22 the bidders kept track of what had happened at this Commission,
23 I think they would have been aware of the equity penalty
24 tradition and probably of the relative order of magnitude.
25 Because the approach in the Hines case and the approach that

1 FPL used is essentially the same. The assumptions as to
2 capital structure and capital costs are different, but the 40
3 percent risk factor is exactly the same.

4 COMMISSIONER PALECKI: Certainly that is something if
5 you were one of the bidders you would want to know that, you
6 know, on a definite basis before you made your proposal, would
7 you not?

8 THE WITNESS: Well, Commissioner Palecki, I'm not
9 sure you would have to know it because I think your proposal,
10 you are looking at your cost and your required return on equity
11 and you have to think about whether you can put the proposal on
12 the table that would be attractive. And presumably your costs
13 and your required returns are known to you.

14 I think if you knew that there was not going to be an
15 equity penalty you might be a little more -- you could possibly
16 bid higher to add to your cost of equity. So I think the
17 considerations that would go into the bidder would depend in
18 large part upon their own circumstances as to what their offer
19 could be. Now, I think they would give some consideration to
20 how that cost would be evaluated and really that is why I think
21 that if this Commission says there will be no equity penalty, I
22 think that would tend to suggest to bidders that they don't
23 have to cut their bids as close because this financing cost
24 that they impose upon the utility will be ignored.

25 And I think a rational bidder would pay a lot of

1 attention to what had happened here in this jurisdiction before
2 in deciding what the game was and I would certainly expect them
3 to look at recent need filings and how they were treated at
4 this Commission.

5 COMMISSIONER PALECKI: And I think you testified that
6 in the -- was it the QF proceedings on the standard offer
7 contracts there was an equity penalty that was allowed?

8 THE WITNESS: Right. It was called an equity
9 adjustment, and there was a 10 percent risk factor used because
10 for QFs the risk factor is generally less because they don't
11 have the degree of firmness that purchased power arrangements
12 with non-QFs generally have.

13 COMMISSIONER PALECKI: So that would in your opinion
14 justify 10 percent as opposed to 40 percent? That is a pretty
15 substantial difference.

16 THE WITNESS: Well, that was the Commission's
17 finding. FPL had originally suggested 20 percent, the
18 Commission found 10 percent, that was the staff recommendation
19 and the Commission accepted the staff's recommendation. So the
20 10 percent was a finding by the Commission as to the risk
21 factor that applied to qualifying facility power on the FPL
22 system.

23 COMMISSIONER PALECKI: Thank you.

24 CHAIRMAN JABER: Commissioner Bradley.

25 COMMISSIONER BRADLEY: Yes. And I know this would be

1 a hypothetical, but under a lease/purchase scenario, what is
2 the useful life and the value of a power plant as an asset
3 after 25 years?

4 THE WITNESS: Well, I think it depends on the power
5 plant, the cost -- its fuel and its cost of fuel, its relative
6 efficiency, and what the price of power in the market is. You
7 know, there are power plants operating in this country that
8 were built in the 1920s. There are power plants that were
9 built in the 1960s that have been retired. So I think it
10 depends on the particular circumstances of a power plant. I'm
11 not an engineer, but my experience being around engineers is
12 that if a power plant is properly maintained it will be in
13 workable condition at the end of 25 years or more. Now the
14 question is is it also economic.

15 COMMISSIONER BRADLEY: And under this same scenario
16 after 25 years, then that means that you would then, if you
17 went into such an arrangement or agreement, then that you would
18 be -- you would put that plant into the rate base?

19 THE WITNESS: No, I believe -- are you speaking of
20 the arrangement that Commissioner Palecki was talking about?

21 COMMISSIONER BRADLEY: Yes.

22 THE WITNESS: My understanding of that arrangement is
23 that --

24 COMMISSIONER BRADLEY: Not for the purposes of
25 construction, but for maybe maintenance and upkeep and other

1 things that are associated with maintaining an asset.

2 THE WITNESS: My understanding of the scenario he was
3 talking about is that at the end of 20 years it will become a
4 utility asset and would go into rate base. If it didn't go
5 into rate base, then it would have no equity value to the
6 utility unless it had an ability to earn something.

7 CHAIRMAN JABER: Redirect.

8 MR. LITCHFIELD: Thank you, Madam Chairman.

9 REDIRECT EXAMINATION

10 BY MR. LITCHFIELD:

11 Q Now, Doctor Avera, you indicated in your testimony in
12 response to cross examination that you had, in fact, reviewed
13 the supplemental RFP, correct?

14 A Yes, sir.

15 Q It's a rather lengthy document, would you agree?

16 A It is.

17 Q On the chance that perhaps you failed to recollect
18 something, I would like to show you a copy of the need study
19 for electrical power plant 2005/2006, Appendices E through J,
20 Page 18 of Appendix F. I would ask that Mr. Guyton show you a
21 copy.

22 MR. MOYLE: I am going to object to this, because I
23 think his testimony related to the supplemental RFP. He is
24 going to show him something that wasn't set forth in the
25 supplemental RFP.

1 CHAIRMAN JABER: Mr. Litchfield, I have to tell you
2 that preface to your question about whether there was a chance
3 that he didn't recall something sounded like you were leading
4 your witness. So why don't you tell me what the cross
5 examination was that you are about to redirect on?

6 MR. LITCHFIELD: He was asked whether the equity
7 penalty was disclosed in the supplemental RFP.

8 CHAIRMAN JABER: I asked that as I recall.

9 MR. LITCHFIELD: Yes. And we can show through Doctor
10 Avera here right now or we can call another witness and show
11 that, in fact, the supplemental request for proposals
12 indicates --

13 CHAIRMAN JABER: So you are redirecting on the cross
14 examination that related to whether the equity penalty was set
15 forth in the supplemental RFP?

16 MR. LITCHFIELD: And more particularly --

17 CHAIRMAN JABER: Is that yes?

18 MR. LITCHFIELD: Yes to your question, and also I
19 believe to Mr. Moyle's question in which he asked whether the
20 bidders were aware of the way the equity penalty was going to
21 be calculated. And I have another question in that respect, as
22 well.

23 CHAIRMAN JABER: I will allow the first one. We will
24 handle the second one as it comes up.

25 MR. LITCHFIELD: Thank you. We have just two copies,

1 so I think Mr. Guyton will probably just show counsel the page
2 we are going to put in front of Doctor Avera. Of course, if
3 counsel has brought their own copies of the supplemental RFP,
4 which of course they have, they can refer to that, as well.

5 CHAIRMAN JABER: Let me be clear. Mr. Moyle, what I
6 have allowed is questions related to my question of whether the
7 inclusion of the equity penalty in the analysis was set forth
8 in the supplemental RFP.

9 MR. MOYLE: And I am perfectly fine with that. I
10 think the document speaks for itself on Page 18. There is one
11 sentence in there. But what I do object to is him being shown
12 something out of a need study that was filed in July of this
13 year, okay, from a time frame that was not in the supplemental
14 RFP, and the bidders had the supplemental RFP, they didn't have
15 the need study. So I don't think it's appropriate.

16 MR. LITCHFIELD: Madam Chairman, this is, in fact --

17 CHAIRMAN JABER: You know, I can really only hear one
18 of you at a time, so I need you to just wait. Let me
19 understand your objection. Are you saying that the document
20 the witness is about to see is not the supplemental RFP?

21 MR. MOYLE: Yes, ma'am.

22 CHAIRMAN JABER: Mr. Litchfield, my question
23 controlled whether the equity penalty was clearly delineated in
24 the supplemental RFP, so if in redirect you are trying to
25 establish that it was --

1 MR. LITCHFIELD: Yes, and also in response to a
2 question from Mr. Moyle as to whether bidders were on notice
3 that an equity penalty would be applied.

4 CHAIRMAN JABER: Well, I would like for you to handle
5 the first question. We will address the second question later.

6 MR. MOYLE: Ma'am.

7 CHAIRMAN JABER: Mr. Litchfield, are you confused
8 about what I want?

9 MR. LITCHFIELD: No, I'm not. I thought we were
10 waiting for Mr. Moyle again.

11 CHAIRMAN JABER: Go ahead.

12 MR. MOYLE: I think this might clarify it. The need
13 study is a big, big document. The supplemental RFP is not that
14 big of a document. We have been working off of the
15 supplemental RFP. Apparently what is going to be shown to the
16 witness is the supplemental RFP, which is a portion of the need
17 study. So if that is all that is being shown, I'm fine. But
18 to the extent that we are showing other documents in the need
19 study, that's where my objection lies.

20 CHAIRMAN JABER: Take an opportunity, Mr. Moyle, and
21 look at this document.

22 MR. MOYLE: It has been represented to me that he is
23 just going to be shown the supplemental. I'm perfectly fine
24 with Mr. Guyton's representation.

25 CHAIRMAN JABER: Go ahead, Mr. Guyton.

1 BY MR. LITCHFIELD:

2 Q I will refer you, Doctor Avera, to Subsection 2 on
3 Page 18 of the supplemental RFP.

4 A Yes, I see that.

5 Q And would you focus on the second paragraph of
6 Section 2?

7 A Yes.

8 Q And would you read for me the sentence beginning with
9 "Therefore, the evaluation," on the third line of that
10 paragraph?

11 A Correct, Mr. Litchfield, this does refresh my
12 recollection. "Therefore, the evaluation will examine each
13 proposal's impact on the entire FPL system, including the
14 estimated impact on FPL's cost of capital associated with
15 entering into a purchased power agreement."

16 MR. LITCHFIELD: Thank you. Now, Madam Chairman, I
17 have a second document which I would like to show the witness
18 and ask him if he recognizes it as an equity penalty
19 computation.

20 CHAIRMAN JABER: And what is that document you are
21 about to show him?

22 MR. LITCHFIELD: The document that I am about to show
23 him is a volume containing Appendices F through O from the need
24 study filed in the initial -- as a result of the initial RFP.
25 A document that the bidders all had before we went to the

1 supplemental RFP.

2 CHAIRMAN JABER: And that goes to what question
3 again, Mr. Litchfield?

4 MR. LITCHFIELD: Mr. Moyle's or perhaps
5 Mr. McGlothlin's, I don't recall whose. I think it was Mr.
6 Moyle's question as to whether bidders were on notice that an
7 equity penalty computation would be used in the supplemental
8 RFP.

9 CHAIRMAN JABER: I think also Commissioner Palecki
10 asked that question, so I will allow it.

11 MR. LITCHFIELD: I believe that is true.

12 BY MR. LITCHFIELD:

13 Q All right. Mr. Guyton has handed you a document,
14 Doctor Avera, and I would like for you to turn to Appendix N,
15 Page 1.

16 A Yes.

17 Q And can you tell me whether this represents an equity
18 penalty calculation?

19 A It does, and it does refresh my recollection. I have
20 seen this in the course of my preparation. It is an equity
21 penalty calculation using the same assumptions that FPL used
22 and that I am supporting in my testimony.

23 MR. LITCHFIELD: Madam Chairman, I would like to mark
24 this for identification, and I would like to move this into the
25 record. Just this one page from the initial need.

1 CHAIRMAN JABER: Hang on, Mr. Litchfield, I have
2 questions about the same document.

3 MR. LITCHFIELD: Sure.

4 CHAIRMAN JABER: Mr. Avera, I need you to tell me
5 exactly what that is you are looking at.

6 THE WITNESS: It is Appendix N, and it is titled
7 equity penalty calculation.

8 CHAIRMAN JABER: And that is from a general
9 document -- that is part of what document?

10 THE WITNESS: It is part of the need study for
11 electrical power plant, 2005/2006.

12 CHAIRMAN JABER: Is it fair to say that that is from
13 the initial RFP process?

14 THE WITNESS: That is my understanding.

15 CHAIRMAN JABER: So that to date has not been filed
16 in this case, is that correct?

17 THE WITNESS: I don't know about its status as to
18 being filed. I do know now I remember having seen this early
19 in my engagement in this matter.

20 CHAIRMAN JABER: The page you were just directed to
21 look at, is there something identical or comparable to it in
22 the need study that has been filed in this case?

23 THE WITNESS: I believe there is.

24 CHAIRMAN JABER: Can you point me to that?

25 MR. LITCHFIELD: Madam Chairman, if Doctor Avera

1 doesn't have it at his chair, which is likely, we can supply
2 him with that.

3 CHAIRMAN JABER: Mr. Litchfield, here is what I would
4 really like to do, if there is a way for you to handle this
5 redirect looking at the need study that is part of this case, I
6 think that is a more efficient way of handling this.

7 MR. LITCHFIELD: Yes. The need study was filed in
8 this case, but I think why I need this particular page from the
9 original need study is to support the proposition that bidders
10 who now seem to through cross examination be suggesting that
11 they were surprised by the fact that the company was going to
12 compute an equity penalty or by the assumptions that were
13 employed by the company can't really do that given that in the
14 initial RFP and the need study the computations were outlined
15 in some detail.

16 CHAIRMAN JABER: Here is the problem with that. They
17 have not been given an opportunity to file rebuttal or do
18 discovery on that document which was not made part of this
19 case. So I'm looking to not open doors creating chaos, but I
20 am giving you an opportunity to conduct your redirect using a
21 document that has been filed in this case.

22 MR. LITCHFIELD: I will try to do so, Madam Chairman.
23 (Pause).

24 Madam Chairman, I will withdraw my request to move
25 this particular sheet into the record. I believe that it has

1 been acknowledged in testimony and I think that probably is
2 adequate for our purposes. And if we need to go further we can
3 do that through another witness.

4 CHAIRMAN JABER: Thank you, Mr. Litchfield. Did you
5 have you any other redirect?

6 MR. LITCHFIELD: I do have a couple of additional
7 redirect.

8 BY MR. LITCHFIELD:

9 Q Doctor Avera, do you recall Mr. Moyle questioning you
10 regarding the excerpts from Moody's Credit Week in your
11 testimony?

12 A I think that was Standard & Poor's Credit Week, Mr.
13 Litchfield.

14 Q I'm sorry, you are absolutely right. Do you recall
15 that line of questioning?

16 A Yes.

17 Q And do you recall that he pointed out to you that the
18 latest date in those articles was 1993?

19 A Yes.

20 Q Am I right that you indicated that those were
21 provided principally to describe the S&P methodology for
22 imputing debt?

23 A That is correct, because it was originally developed
24 in the early '90s, and those are the reports in which S&P kind
25 of laid out its approach to quantifying the off-balance sheet

1 liability.

2 Q To your knowledge has S&P changed its methodology
3 since 1993?

4 A No, it has not. It has continued to use similar
5 methodology up until today.

6 Q Mr. Harris asked you a question regarding your
7 experience in other jurisdictions, and I think specifically he
8 asked you whether you were aware of other orders from other
9 state commissions reflecting or incorporating an equity
10 adjustment. Do you recall that?

11 A Yes, sir.

12 Q And I believe you indicated that in your experience
13 the situation was such that the analysis was comparing
14 competing outside proposals versus an analysis that compares
15 self-builds to outside proposals, is that right?

16 A That is correct. That has been my experience in
17 other states where the commission had a proceeding to look at
18 purchased power alternatives.

19 Q My question is given that difference, do you have any
20 understanding or rationale as to why those orders might not
21 have reflected an equity penalty adjustment?

22 A Well, if you are comparing alternatives that
23 essentially have the same effect on the balance sheet, there is
24 no reason to adjust for that effect in order to compare the
25 alternatives one to another.

1 Q Now, you were asked by Mr. McGlothlin with respect to
2 the excerpt from the S&P communication regarding the risk
3 factor, were you not?

4 A Yes, sir.

5 Q Is that the type of communication that S&P would
6 provide in the ordinary course of its business to your
7 understanding?

8 A Yes, it does. S&P generally advises investors or the
9 companies their rating as to their preliminary thoughts about
10 relevant parameters.

11 Q Including risk factors?

12 A Yes.

13 Q Now, you were also asked by Mr. McGlothlin regarding
14 the materials that were furnished to S&P for purposes of its
15 review. Do you recall that question?

16 A That is correct.

17 Q And I think you indicated that you were aware that
18 materials other than or in addition to the supplemental RFP or
19 the RFP were provided, but you weren't sure what materials,
20 correct?

21 A That is correct. I remember talking to people on Mr.
22 Dewhurst's staff about what was provided, and I know the
23 materials went beyond the RFP. I believe the need study might
24 have been included, but as to the specifics, I just can't
25 recall exactly what they were. But I know there were more

1 materials.

2 Q Irrespective of what may have been provided in
3 addition to the terms of the RFP, would S&P have had materials
4 on Florida in general and on FPL specifically?

5 A Yes. As I indicated later in my cross, S&P has a
6 continuous following of not only FPL, but other Florida
7 jurisdictional utilities. And my experience with rating
8 agencies is that they divide themselves into teams that
9 specialize in particular utilities and particular parts of the
10 country, and they continually keep themselves up-to-date.

11 It was my experience when I was on the Texas
12 commission staff that usually a couple of days after the
13 commission would render a particularly significant order, I
14 might get a call from somebody at S&P, or Moody's, or one of
15 the other rating agencies just to get a little background as to
16 what this decision might mean and what its implications were
17 for utilities in the state.

18 So I think the value that S&P brings to investors is
19 that they have this continuous monitoring of what goes on with
20 utilities and with commissions, so that when they issue a
21 publication, especially one that, you know, in response to some
22 big event, they can do so with the benefit of the background of
23 being familiar with what has happened and what the history and
24 context is leading up to that event.

25 MR. LITCHFIELD: Thank you. Those are all the

1 questions I have for redirect.

2 CHAIRMAN JABER: Thank you. Thank you, Mr. Avera. I
3 have Exhibit 22.

4 MR. LITCHFIELD: Yes, I would ask that that be
5 entered into the record.

6 CHAIRMAN JABER: Without objection, Exhibit 22 is
7 admitted into the record.

8 (Exhibit 22 admitted into the record.)

9 CHAIRMAN JABER: The next witness is Donald
10 Stillwagon. Commissioners, while that witness comes to the
11 stand, please feel free to take a short break.

12 MR. MOYLE: Can counsel take that, as well?

13 CHAIRMAN JABER: Short. Ten minutes.

14 (Recess.)

15 CHAIRMAN JABER: We are going to get back on the
16 record. And, FPL, your next witness is Mr. Stillwagon?

17 MR. BUTLER: That's right, Mr. Stillwagon. I
18 understand he has previously been sworn. Let me just explain
19 that I have left during the break for each of the Commissioners
20 and staff and the other parties a copy of a Page E-22 from the
21 need study appendices. It is just a map of sort of the basic
22 FPL transmission system that I think may be helpful for
23 following along with Mr. Stillwagon's testimony.

24 Thereupon,

25 DONALD R. STILLWAGON

1 was called as a witness on behalf of Florida Power and Light,
2 and having first been duly sworn, was examined and testified as
3 follows:

4 DIRECT EXAMINATION

5 BY MR. BUTLER:

6 Q Mr. Stillwagon, would you please state your name and
7 address for the record?

8 A My name is Donald R. Stillwagon. My address is 610
9 Crystal Springs Road, Murphy, North Carolina.

10 Q Have you been engaged to testify on behalf of FPL in
11 this proceeding?

12 A Yes, I have.

13 Q And do you have before you direct testimony
14 consisting of 13 pages of prepared testimony and Documents
15 DRS-1 to DRS-3?

16 A Yes, I do.

17 Q Were the testimony and exhibits prepared under your
18 direction, supervision, or control?

19 A Yes, they were.

20 MR. BUTLER: I would ask that the next exhibit number
21 be assigned to Mr. Stillwagon's documents. I think that would
22 be 23.

23 CHAIRMAN JABER: Hearing Exhibit 23 is identified for
24 DRS-1 through DRS-3.

25 (Exhibit 23 marked for identification.)

1 BY MR. BUTLER:

2 Q Have you prepared an errata sheet to your prefiled
3 direct testimony and the portions of the need study that you
4 are sponsoring?

5 A Yes, sir, I have.

6 Q And, I'm sorry, I forgot to ask you, are you
7 sponsoring portions of the need study?

8 A Yes, I am.

9 Q Would you please identify those?

10 A I co-sponsor Section M of the need study and I also
11 sponsor portions of Section 3 of the need study dealing with
12 transmission integration.

13 Q Thank you. As revised by the errata sheet, do you
14 adopt this prefiled direct testimony as your testimony in this
15 proceeding?

16 A Yes, I do.

17 MR. BUTLER: I would ask that Mr. Stillwagon's
18 prefiled direct testimony be inserted into the record as though
19 read.

20 CHAIRMAN JABER: The prefiled direct testimony of
21 Donald R. Stillwagon shall be inserted into the record as
22 through read.

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF DONALD R. STILLWAGON**

4 **DOCKET NOS. 020262-EI, 020263-EI**

5 **JULY 16, 2002**

6
7 **Q. Please state your name and address.**

8 **A. My name is Donald R. Stillwagon, and my address is 6425 8th Avenue North,**
9 **St. Petersburg, FL 33710.**

10
11 **Q. Please state your occupation.**

12 **A. I am an independent consultant on matters relating to transmission systems. I**
13 **have been engaged to work for Florida Power & Light Company (FPL) on**
14 **transmission integration requirements as they relate to FPL's Supplemental**
15 **Request For Proposals (Supplemental RFP).**

16
17 **Q. Please state your experience.**

18 **A. I graduated from the University of Florida with a Bachelor of Science Degree**
19 **in Electrical Engineering in 1968. I subsequently earned a Master's degree in**
20 **Business Administration from the Florida Institute of Technology in 1978. I**
21 **am a registered Professional Engineer in the State of Florida, and a member of**
22 **the Institute of Electrical and Electronic Engineers, Inc. (IEEE).**

23

1 My work experience includes 33 years at Florida Power Corporation (FPC)
2 from which I retired January 1, 2002. While at FPC, I spent the first 9 years
3 of my career in Transmission Line Design where I was responsible for project
4 work involving the routing and engineering design of transmission lines,
5 preparation of cost estimates, work orders, and project cost budgeting. I was
6 responsible for planning of the FPC Bulk Transmission System (230 kV and
7 above) for the period of 1978 through 1994. In this position, I was
8 responsible for loadflow and transient stability studies, development of
9 solution alternatives, evaluating the costs and benefits of alternatives and the
10 recommendation of an expansion plan and budget requirements to FPC
11 management.

12
13 In December 1994 I became the Manager of Transmission and Distribution
14 (T&D) Planning for FPC, a position I held for five years. As Manager of
15 T&D Planning, I led the team that was responsible for the planning and capital
16 budgeting for the entire FPC transmission system, including distribution
17 substations. As Manager, I was also responsible for coordinating the planning
18 of the FPC transmission system with other utilities and within the Florida
19 Reliability Coordinating Council (FRCC). The final two years of my career at
20 FPC were spent on a special assignment to the FPC Regional Transmission
21 Organization Team that led the FPC involvement in the GridFlorida and other
22 Regional Transmission Organization efforts at the Florida level and at the
23 Federal Energy Regulatory Commission (FERC).

1 I have testified before the Florida Public Service Commission (Commission)
2 in several Transmission Need Hearings, and represented the FRCC before the
3 Commission in several proceedings in various capacities. I served as Chair of
4 the FRCC Available Transfer Capability Working Group (ATCWG) from its
5 inception in 1995 through late 2001.

6

7 **Q. What is the purpose of your testimony?**

8 **A.** The purpose of my testimony is to describe the overall evaluation process and
9 the results of transmission integration studies for the various capacity plans
10 from the FPL Supplemental RFP process as requested by the FPL Resource
11 Assessment and Planning (RAP) staff. I will additionally review the detailed
12 results of the integration studies as they pertain specifically to the All FPL
13 plan.

14

15 **Q. Are you sponsoring an exhibit in this case?**

16 **A.** Yes. It consists of the following documents:

17 Document DRS-1, Integration Direct Costs Summary

18 Document DRS-2, Integration Cash Flow - Supplemental RFP

19 Document DRS-3, Integration Facilities and Cost for All FPL plan.

20

21 **Q. Are you sponsoring any part of the Need Study for this proceeding?**

22 **A.** Yes, I sponsor the portions of Section III addressing transmission integration
23 and co-sponsor Appendix M of the Need Study.

1 **I. Integration Study Process.**

2

3 **Q. Please describe FPL's transmission integration evaluation process and**
4 **you involvement in it.**

5 **A.** The evaluation process consisted of three steps.

6

7 The first step was to perform loadflow screening studies to identify new
8 facilities and facility upgrades that would be needed to integrate the capacity
9 resources in each plan into the transmission system as a network resource for
10 FPL. In consultation with FPL transmission personnel, I developed the
11 methodology that was used to perform these loadflow screening studies. I
12 then led and directed FPL transmission planning engineers, who performed
13 the loadflow screening studies. Throughout this first step, I met with FPL
14 transmission planning engineers, reviewed and approved the results of their
15 loadflow screening studies, and prepared a scenario-by-scenario list of new
16 facilities and facility upgrades required to integrate the capacity resources in
17 each plan into the transmission system as a network resource for FPL.

18

19 Once a list of new facilities and facility upgrades required to integrate was
20 identified, I directed the second step of the evaluation process, which
21 consisted of developing cost estimates for the new and upgraded transmission
22 facilities. The cost estimates were prepared by FPL substation and
23 transmission engineers under my direction. During this step I held a meeting

1 and participated in the discussion at which the scenario study results and cost
2 estimates were discussed and reviewed for reasonableness and compared for
3 consistency.

4
5 The final step in the process involved compiling (i) a total transmission
6 integration cost for each plan and (ii) an estimated monthly cash flow of the
7 costs for the transmission projects. Again, this work was performed by FPL
8 transmission personnel under my direction. After I reviewed the transmission
9 integration cost information and satisfied myself as to its accuracy and
10 completeness, I transmitted the information to the FPL RAP business unit for
11 inclusion in the Supplemental RFP evaluation. Document DRS-1 contains a
12 listing of the 28 plans and their associated transmission integration costs.
13 Document DRS-2 contains two separate cash flows for each plan, the first for
14 the facilities being placed into service in 2005, and the second for the facilities
15 being placed into service in 2006.

16
17 **Q. Please describe the loadflow analyses performed.**

18 **A.** For each of the 28 plans, loadflow studies were performed to assess necessary
19 transmission system upgrades. These studies were considered screening type
20 studies since they were not as comprehensive as studies that are normally
21 performed for a request for specific transmission service. However, the
22 screening type studies are sufficient to provide a reasonable estimate of the
23 facilities that may become overloaded as a result of the plan options and the

1 incremental transmission facilities that may be necessary to mitigate such
2 overload(s).

3
4 Each of the 2005 and 2007 loadflow cases for the 28 plans was subjected to a
5 contingency screening of all transmission elements, and the FPL system was
6 monitored for violations of North American Electric Reliability Council
7 (NERC), FRCC and FPL standards. In accordance with standard study
8 procedures for interconnection and integration, the analysis did not include
9 monitoring the systems of any other transmission providers. Any violations
10 found were resolved by the least expensive option, whether by acceptable
11 remedial action, facility upgrades, or by new facilities. All proposed
12 solutions were inserted into the appropriate loadflow case and tested with
13 another full contingency screen in order to verify the completeness of the
14 solution.

15
16 The loadflow cases used for the studies were based upon the FRCC 2002
17 loadflow cases, which are available and updated on an annual basis by the
18 FRCC.

19
20 **Q. Please describe the reasons for using the FRCC 2002 loadflow cases.**

21 **A.** The FRCC 2002 loadflow cases have a significant advantage over the 2001
22 loadflow cases, because they contain many new planned facilities required as
23 a result of newly confirmed transmission service requests and retail load

1 requirements. Though not officially deemed final by the FRCC until June 18,
2 2002, by the time the 2002 loadflow cases were used for this analysis they
3 were undergoing final review and had already been reviewed by the FRCC
4 Transmission Working Group several times as well as by all transmission
5 providers in the FRCC through a formal review process. Finally, the 2002
6 FRCC loadflow cases contain a full year's worth of transmission service
7 additions, all the facilities planned by all transmission providers during the
8 previous year, and the data from another full year of load growth information.
9 Using the 2002 FRCC loadflow cases assures that the results for this analysis
10 are based on the most current loadflow cases available.

11
12 **Q. Why did FPL's loadflow analysis use 2005 and 2007 study years?**

13 **A.** Summer 2005 was used because that is the first year that the candidate 2005
14 capacity resources would be available, and summer 2007 was chosen to study
15 the system one year after all of the proposed capacity resources for each of the
16 plans was in service to assure the transmission integration was adequate.

17
18 **Q. Do you have a general observation regarding the results of the analysis?**

19 **A.** Yes. Generally, the results of the loadflow analysis indicated that a limited
20 amount of capability exists to transfer power from the west coast to the east
21 coast load centers of Florida. Therefore, as larger amounts of additional
22 capacity resources are concentrated in the west coast of Florida in proportion
23 to the east coast of Florida, incremental transmission facilities become

1 necessary. As this situation is exacerbated, the incremental transmission
2 facilities required to accommodate the transfer of power from the west coast
3 to east coast load centers become more extensive.

4
5 **Q. Once the need for incremental transmission facilities was determined for**
6 **each plan, how were the costs of such incremental transmission facilities**
7 **estimated?**

8 **A.** Based on the need for incremental transmission facilities identified in each
9 plan, a budget estimate for the facilities necessary for integration was
10 developed in a consistent manner for each plan. These were what I consider
11 budget grade estimates, which were based on sound engineering judgment,
12 readily available data and existing estimates, and records of facility limitations
13 and equipment ratings. The estimates did not involve any field inspections, or
14 the type of detailed analysis that would be performed in response to a specific
15 request for interconnection or transmission service, but they are adequate for
16 their intended purpose. That is, they provide all the necessary information to
17 make effective comparisons of the relative transmission integration costs
18 associated with the plans. The estimated costs of the facilities for each plan
19 were summed, and the total estimated plan integration cost determined. The
20 estimates provided were in 2002 dollars.

21

22 **II. Integration Study Overall Results**

23

1 **Q. Please summarize the cost estimates associated with integration for the 28**
2 **capacity plans.**

3 **A.** Generally, the 28 capacity plans can be clustered into three broad groups.
4 The least costly group of plans, which ranged in direct construction cost from
5 \$4.4 million to \$25.6 million, consisted of plans designated as All Outside, All
6 FPL, 2(b), 3, 3(a), 3(b), 5(a), 5(b), 7(a), 7(b), 8(a), 8(b), and 10. This first set
7 can be described by several distinctive characteristics. First, in these plans the
8 majority of the capacity resources that are placed into service in 2005 are
9 located in the vicinity of the central east coast of Florida. Also, these plans
10 either are somewhat more balanced in quantity of east coast versus west coast
11 capacity resources or are predominantly on the east coast.

12
13 The second group of plans ranged from \$32.5 to \$57 million in direct
14 construction cost, and consisted of plans designated as 1, 1(a), 1(c), 2, 2(a), 4,
15 4(a), 5, 6(a), 6(b), 6(c), 9(a) and 9(b). In this group of plans, the substantial
16 majority of the capacity resources that are placed into service in 2005 are
17 located in the vicinity of the west coast of Florida. It appears that placing an
18 emphasis on capacity resources located in the west coast results in higher
19 amounts of west-to-east power transfers, and in larger overloads in the west-
20 to-east transmission facilities. These facilities cover great distances, and thus
21 the required upgrades tend to be more costly.

22

1 Finally, the last group of plans, designated as 1(b) and 4(b), ranged from
2 \$90.2 to \$106.5 million in direct construction cost. These plans have all
3 capacity resources located in the west coast vicinity, which results in high
4 amounts of west-to-east power transfers, consequently significantly
5 overloading the west coast to east coast transmission facilities. As I discussed
6 in the previous paragraph, these facilities are very long; thus, the upgrades are
7 relatively expensive. Compounding this situation are the large overloads
8 identified with this last group of plans that require a rebuild of these west-to-
9 east transmission facilities.

10
11 **III. All FPL plan**

12
13 **Q. Please describe the transmission system interconnection requirements for**
14 **the proposed Martin Unit 8 and Manatee Unit 3 projects, referred to as**
15 **the All FPL plan.**

16
17 **A.** Document DRS-3 identifies the integration facilities for the All FPL plan and
18 tabulates the total direct transmission integration cost for the plan. Two new
19 transmission lines are required on the east coast, and five transmission lines
20 must be upgraded to higher ampacity, four on the west coast, and one on the
21 east coast. The new transmission lines are (a) between the Martin system
22 substation and the Indiantown substation, and (b) between the Indiantown
23 substation and the Bridge substation. The new transmission facilities

1 constitute 93%, \$20.6 million of \$22.1 million, of the All FPL transmission
2 integration cost. These two new transmission lines will become part of the
3 overall transmission system and thus needed to serve the FPL load. The
4 system upgrades of existing circuits are responsible for the \$1.5 million
5 balance of the All FPL transmission integration cost.

6
7 Just as with the other plans, the transmission facilities are required for the total
8 plan and cannot be separated for each resource. The construction of the new
9 transmission lines and the upgrades are necessitated due to thermal
10 overloading of existing transmission lines for single contingency outages.

11
12 **Q. Would you please explain why the construction of two new transmission**
13 **lines is necessary?**

14 **A.** With respect to the two new transmission lines that must be constructed, the
15 Martin-Indiantown #2 230 kV transmission line is necessary because several
16 contingency outages result in overloads on the Warfield-Indiantown, Florida
17 Steel-Indiantown and Florida Steel-Martin 230 kV lines. Since upgrades of
18 these lines are not an effective alternative, a third 230 kV transmission line
19 from Martin-Indiantown is necessary. Regarding the necessity for the second
20 230 kV transmission line from Indiantown-Bridge, this line is required due to
21 the resulting thermal overloading of the existing Indiantown-Bridge 230 kV
22 line for the contingency outages of the Indiantown-Pratt&Whitney,
23 Pratt&Whitney-Ranch, Midway-Jaguar and Turnpike-Jaguar 230 kV lines.

1 The screening study determined that the thermal overloads experienced on the
2 existing Indiantown-Bridge 230 kV line exceeds any remaining upgrade
3 capability.

4

5 **Q. Please address the necessity for the upgrades of existing transmission**
6 **lines.**

7 **A.** With respect to the upgrades identified as necessary in the screening study, the
8 upgrade of the Ranch-Homeland 230 kV line is required due to resulting
9 overloads on this line for the contingency outage of either the Corbett-
10 Conservation 500 kV or Conservation 500/230 kV autotransformer. The
11 screening study indicates that the Ranch-Homeland 230 kV line can be
12 upgraded such that the resulting overload is mitigated.

13

14 Similarly, the Charlotte-Ft. Myers # 2 230 kV line was found to experience
15 overloads for the contingency outage of the Charlotte-Calusa, the other
16 Charlotte-Ft. Myers or the Charlotte-North Cape 230 kV transmission lines that
17 could be mitigated by an upgrade of the line. Also, the Charlotte-Calusa 230
18 kV transmission line sustained overloads that could be mitigated by an upgrade
19 of the line for the same contingency outages as discussed for the Charlotte-Ft.
20 Myers#2 230 kV line.

21

22 Regarding the necessity to upgrade the Manatee-Johnson and Manatee-
23 Ringling #3 230 kV lines, the contingency outage of either of these lines

1 results in the other being overloaded. Additionally, the contingency outage of
2 the Manatee-Parish or Parish-Ringling 230 kV transmission lines result in
3 overloads of a lesser magnitude on one or both of the Manatee-Johnson and
4 Manatee-Ringling 230 kV lines.

5
6 **Q. Please summarize your testimony.**

7 **A.** My testimony provides a description of the Transmission Integration Study
8 process that led to the development of the FPL transmission facility
9 requirements and costs for integrating each of the 28 plans of the FPL
10 Supplemental RFP into network resources for the FPL network load. The
11 range of costs varies from a low of \$4.4 million for the All Outside plan which
12 contained candidate resources mainly in the south central and east side of
13 Florida, to a high of \$106 million for Plan 4(b) which contained candidate
14 resources primarily on the west coast of Florida.

15
16 Finally, I provide more detail about the transmission integration requirements
17 for the plan that was selected as a result of the Supplemental RFP process.
18 This specific plan requires two new transmission lines to be constructed on the
19 east coast, and upgrades of five existing lines, one on the east coast, and four
20 on the west coast. The great majority of the total direct transmission
21 integration cost of this plan is for the two new transmission lines.

22
23 **Q. Does this conclude your testimony?**

24 **A.** Yes.

Errata Sheet
Direct Testimony of Donald R. Stillwagon
Docket Nos. 020262-EI and 020263-EI

Page, Line	Correction
1, line 8	Change "6425 8 th Avenue North," to "610 Crystal Springs Road,"
1, line 9	Change "St. Petersburg, FL 33710." to "Murphy, NC 28906."
6, line 5	Insert "bulk" before "transmission"
10, line 13	Change "interconnection" to "integration"

DOCUMENT NUMBER 10495
10495 SEP 30 2011
FPSC-COMMISSION CLERK

1 BY MR. BUTLER:

2 Q Would you please summarize your testimony?

3 A Yes, thank you. Good afternoon, Chairman Jaber and
4 Commissioners. I appreciate the opportunity to be here to
5 testify on the transmission evaluation process that we used to
6 determine of the transmission facilities required and the
7 attendant costs for integrating capacity resources into the
8 transmission grid.

9 The FPL resource assessment and planning department,
10 or RAP, provided me with 28 capacity resource plans to
11 evaluate. The transmission evaluation process was done on an
12 identical basis for all 28 plans.

13 Basically, the transmission evaluation process
14 consisted of three steps. The first step was to perform
15 loadflow screening studies to determine the transmission
16 facilities required for the integration of each capacity plan.
17 The second step was to obtain and review cost estimates of
18 those transmission facilities, and transmission facilities
19 include both rebuild of existing or upgrading of existing
20 facilities and construction of new facilities. The last step
21 of the process was to assemble a summary of the transmission
22 facility requirements for each plan, and the attendant cost
23 estimates for those plans and transmit them to RAP for their
24 inclusion in the overall RFP evaluation process.

25 The load flow analysis used in the latest FRCC, that

1 is the Florida Reliability Coordinating Council, or the FRCC's
2 loadflow cases which contain the latest and best available
3 transmission plans. The loadflow cases were then modeled and
4 evaluated for each of the 28 plans with the 2005 electric
5 system with the 2005 capacity resources modeled in those
6 loadflows, and in the 2007 electric system with both the 2005
7 and 2006 capacity resources modeled.

8 The evaluation was performed in an identical manner
9 for all the plans. The evaluation involves studying outages of
10 all major 115 kV and above transmission lines and evaluating
11 solutions for each transmission loading problem found on the
12 FPL system. In general, the solution, as I mentioned, involved
13 either new facilities or upgrades of existing transmission
14 facilities.

15 Cost estimates of the transmission facilities were
16 then developed for each plan and reviewed for reasonableness
17 and consistency. All the cost estimates were developed and
18 direct construction costs in 2002 dollars. Finally, the
19 summaries and the cost estimates were transmitted to RAP for
20 their inclusion in the overall evaluation process.

21 The cost estimates developed for transmission
22 facilities required for integration of the individual plans
23 ranged from 4.4 to \$106.5 million, and exhibit or Document
24 DRS-1 lists those as a tabulation. Three groupings of the
25 plans by transmission integration costs were identified.

1 Basically, 13 plans fell in a group below \$25.6 million. A
2 second group of 13 plans ranged from 32.5 to \$57 million, and
3 there were two plans in the final group, one of 90.2 million
4 and one of \$106.5 million.

5 One of the major factors contributing to the
6 groupings for the differences in the cost estimates is the
7 amount or level of transmission facilities required to support
8 power flows from the west coast to the east coast of Florida.
9 This factor is influenced by the location of the capacity
10 resources, the timing of those capacity resources, and the
11 amount of balance between the amount of capacity resources
12 connected on the west coast of Florida and the east coast of
13 Florida for an individual plan.

14 Finally, my testimony describes the transmission
15 facilities required for the All-FPL plan, the Martin and
16 Manatee plans. This plan requires two new transmission lines
17 on the east coast of Florida and the upgrading of five
18 transmission lines, four on the west coast of Florida and one
19 on the east coast of Florida. The estimated cost of those
20 integration facilities for the All-FPL plan is 22.1 million and
21 direct construction cost in 2002 dollars.

22 That summarizes that testimony. Thank you.

23 CHAIRMAN JABER: Thank you, sir.

24 MR. BUTLER: I tender him for cross-examination.

25 CHAIRMAN JABER: Mr. Moyle.

1 MR. MOYLE: Thanks.

2 CROSS EXAMINATION

3 BY MR. MOYLE:

4 Q You are from North Carolina, is that right?

5 A Yes.

6 Q So I guess you used to be from St. Petersburg?

7 A That is correct.

8 Q Well, we're sorry to lose you, but appreciate you
9 coming down for this proceeding.

10 A Thank you.

11 Q I have some questions about the transmission, and let
12 me start by asking you when FPL made its cost assumptions for
13 the interconnection costs of the FPL units, what assumptions
14 did it make about existing generator interconnection service
15 requests?

16 A I didn't deal with the interconnection cost portion
17 of the analysis. That was done by a separate process. I dealt
18 with the integration of all the capacity resource plans into
19 the transmission grid.

20 Q Who dealt with the interconnection aspects of it?

21 A The entity would have had to have dealt with the
22 transmission owner that they were interconnecting with, so it
23 would be the FPL transmission planning department. Those
24 estimates were developed through the process of asking for a
25 generator interconnection.

1 Q Okay. My understanding of generation interconnection
2 and whatnot is that there is a queueing process that folks make
3 application and wait in line and then FPL does studies and
4 determines the cost on the system. Is that generally your
5 understanding?

6 A I understand that there is a queueing process. There
7 is a separate queuing process, I believe, for each transmission
8 provider.

9 Q Do you know what the queuing process is with respect
10 to projects that were represented by bids submitted in this
11 RFP?

12 A No, I do not.

13 Q So you don't know whether FPL treated its plants the
14 same way it treated plants from IPPs that were proposing
15 projects in this RFP?

16 A I'm not aware of the transmission integration process
17 that is currently being employed. I know that it follows the
18 FERC guidelines, which basically require everybody to be
19 treated equal, and I think that is certainly being done. But
20 I'm not familiar with the queues or anything else. I did not
21 need to do that for my integration study.

22 Q If FPL did not treat itself in the same fashion as it
23 treated other outside bids with respect to queuing and
24 assumptions, would you consider that to be fair?

25 A I would consider it to be in violation of what FERC

1 requires utilities to do.

2 Q Do you know if FPL has completed an interconnection
3 feasibility study for Manatee 3?

4 A I'm really not sure. I don't know.

5 MR. BUTLER: I am going to object to this line of
6 questions. It is going to interconnection costs for the
7 outside projects, something that Mr. Stillwagon has already
8 said he, you know, doesn't testify to and isn't familiar with.
9 I just don't think that it is an appropriate line of
10 questioning for him.

11 CHAIRMAN JABER: So is your objection that it is
12 outside the scope of his direct?

13 MR. BUTLER: Yes.

14 CHAIRMAN JABER: Mr. Moyle, can you respond by
15 showing me where it is in his direct testimony?

16 MR. MOYLE: Well, I understood this witness to be the
17 transmission witness. On Page 3 he talks about the
18 transmission integration studies and goes on and talks about
19 the costs. His exhibits have the cost and whatnot, and it is
20 my understanding that how people are treated with respect to
21 queuing is an important part of that process. And it's just my
22 understanding. I mean, if there is four projects in line and
23 you are the fourth project, and you assume that all of them get
24 built, then the fourth project is likely to have some
25 additional costs. If everyone is treated the same, that's

1 fine. But to the extent that if FPL looks at IPPs and says,
2 well, when we are doing an IPP evaluation every project in the
3 queue will be treated one way and if we are doing our own
4 evaluation we will only look at entities that have signed
5 contracts, that's what I'm trying to get at. But it may not be
6 that this witness has that information.

7 CHAIRMAN JABER: I will allow the questions. I would
8 note for the record that the question goes generally to Pages 4
9 through 11, so I will allow the questions. Mr. Moyle,
10 continue.

11 BY MR. MOYLE:

12 Q Maybe I can short circuit this. You heard my
13 description with respect to why I was posing these questions.
14 Do you have any information related to the description that I
15 gave to the Chairman?

16 A No, I do not. I believe that as far as I am aware
17 all of these projects were in some kind of a queue, they may or
18 may not have had their studies completed. I think that is a
19 separate issue from the integration cost. There is a reason
20 for the separation. I'm the transmission integration witness,
21 I did the study to do the integration evaluation.

22 Q Let me ask you with respect to the grouping of the
23 plans, I was looking at your exhibit just to make sure I
24 understand. Exhibit DRS-1, Page 1 of 1.

25 A Yes, sir.

1 Q If I am reading that correctly, it shows a grouping
2 of plants similar to -- you have I think heard and seen
3 testimony about these groupings, correct?

4 A Yes.

5 Q Did you do the transmission integration in these
6 groups or did you look at each plant separately?

7 A I did the integration study by groups, which is the
8 only correct way to do the study.

9 Q Okay. Could you have a situation potentially where a
10 couple of these folks in the group, let's say, for example,
11 under 1A you see Manatee P5 and P42. Could you have a
12 situation where Manatee in P5 have no transmission costs, but
13 then when you add P42 the transmission costs all of a sudden
14 goes up significantly and is a big number?

15 A It is possible that you have different facility
16 requirements in 2005 for the capacity resources being
17 incorporated in 2005 and those being incorporated in 2006.
18 What you have to do from a planning basis is evaluate the costs
19 of the transmission integration in 2005 and 2006 when you have
20 capacity resources being installed in different years. So I
21 believe the answer to your question is yes, but I need to
22 explain the reason for that is you are studying the two years,
23 the capacity resources being installed in those years.

24 Q Okay. Have you read the supplemental RFP?

25 A I have read portions of it.

1 Q Do you know if the bidders were informed that their
2 transmission integration costs would be calculated in this
3 manner, that they would be combined and grouped in the way that
4 you have grouped them in your Exhibit DRS-1?

5 A I think when the entities were bidding they probably
6 did not have any indication of how they might be grouped,
7 because unless they were bidding for the entire capacity in the
8 RFP, if they were bidding a portion of that they would have to
9 assume, I guess, that they would be grouped by someone and that
10 there would be an integration study.

11 Q Okay. Now, I think I understood you to say you
12 didn't break out the costs separately for each facility,
13 correct?

14 A That is not possible to do.

15 Q Did you try to break out the costs separately for the
16 FPL facilities?

17 A No, I did not.

18 Q And why not?

19 A Because as I said, it isn't possible to do that. The
20 only proper way when you have got a group of capacity
21 resources, or a group of requests, or a group of capacity
22 resources like this being installed in one year, the only way
23 to properly integrate them into the grid is to consider them as
24 a group and determine where the end state for that group is.
25 If you do them in any kind of -- I guess one could think of a

1 building block approach and try to do them one at a time. Each
2 one of those is going to effect the grid and going to effect
3 the other plan that you develop. So what is going to happen is
4 the requirements for each block will depend upon who comes
5 first, and you will get a different answer depending on which
6 one you put first. So the only way to end up at the right end
7 state or group of capacity resources is to put them all into
8 the study and determine what the transmission system
9 integration requirements are as a group.

10 Q So is it your testimony that you could not have
11 broken out the transmission costs of the FPL Manatee unit and
12 the FPL Martin unit?

13 A Yes, that is true.

14 Q That is your testimony?

15 A That is true.

16 Q You are aware that we have two separate cases here
17 today, correct?

18 A I beg your pardon?

19 Q Are you aware that we have two separate cases that
20 are being heard today, Docket Number 020262 and Docket Number
21 020263?

22 A I'm not really aware of the -- to be quite honest, I
23 have focused on my portion of this. I wasn't aware that there
24 were two dockets.

25 MR. MOYLE: I have no further questions.

1 CHAIRMAN JABER: Thank you, Mr. Moyle. Mr.
2 McGlothlin.

3 CROSS EXAMINATION

4 BY MR. MCGLOTHLIN:

5 Q Mr. Stillwagon, in your transmission studies you used
6 loadflows for the years 2005 and 2007, is that right?

7 A That is correct.

8 Q For each of those two loadflow cases at how many load
9 levels did you exercise the loadflow analysis?

10 A I looked at the system peak load level.

11 Q Was that a one hour peak?

12 A No, sir, it wasn't. It is the summer FRCC loadflow
13 cases which are representative of the summer peak, which I
14 think as everyone knows occurs many years -- many hours during
15 each day and many days during each year in Florida.

16 Q But to represent that summer peak you used a single
17 load level?

18 A Which is consistent with the modeling of the FRCC.
19 Summer peak is a single loadflow.

20 Q What resources did you have in service for the
21 loadflow case?

22 A The resources and the facilities that were in service
23 in the loadflow cases are those that are provided in the FRCC
24 cases, which according to NERC and FRCC standards is all
25 facilities available. So it is basically all the known

1 facilities are available as all the FRCC utilities model them.
2 And, of course, let me clarify that not all generators may be
3 running every utility and every entity. And the FRCC
4 dispatches its facilities even in that peak summer case on an
5 economic basis. So there may be a few small peakers that are
6 not running.

7 Q So it is whatever resources would have been running
8 at the time of summer peak?

9 A I believe that is correct, yes.

10 Q This may be implicit in your last answer, but let me
11 clarify. With respect to those resources that were included,
12 did you try any different loadings of the resources themselves?

13 A Let me ask you to restate the question. I'm not sure
14 I heard all of it.

15 Q With respect to each individual resource that was
16 included, did you specify only one loading on that resource or
17 did you try alternatives?

18 A Some of the resources may have been adjusted in the
19 loadflow to allow for the particular capacity resources being
20 installed. In other words, as I installed in each power flow
21 model the capacity resources being integrated into the grid,
22 there would have to be some generation adjustments. But that
23 would only be to the FPL generation, it would be within a very
24 small range because generally the capacity resources being
25 integrated were about the same amount of megawatts, and it

1 would only have been the FPL system.

2 Q You have heard the discussion earlier, I assume,
3 about the impact on the transmission system of the addition of
4 Manatee and/or Martin in different time periods?

5 A Yes, I believe I have heard certainly portions of it.
6 I may not have heard it all.

7 Q I'm going to describe the scenario as for shorthand
8 Manatee in, Martin out for the purpose of the question. What
9 impact does the Manatee in and Martin out situation have on the
10 transmission system in 2005?

11 A That wasn't a scenario that was evaluated in the
12 integration study, but we have a scenario that is pretty close
13 to that. The scenario labelled two, which is actually down
14 toward the bottom of Table DRS-1, has Manatee in P5. There
15 were several combinations, I think, with Manatee, but no
16 combination with just Manatee alone. But if you take a look at
17 scenario or plan designation two, which is about six rows up on
18 Table DRS-1, you will see that the effect of installing Manatee
19 in P5 in 2005 followed by Martin in 2006 is a total
20 transmission integration cost of about \$42,350,000. That is in
21 direct integration costs, that doesn't include AFUDC and
22 escalation.

23 Q And I assume this 42,350,000 represents some specific
24 facilities or facility upgrades?

25 A Yes, it does.

1 Q Can you identify those for me?

2 A We can in the Appendix M. Appendix M has a listing
3 of all the facilities in each of the portfolios. Each of the
4 plans, actually. And that would be Page M21.

5 Q Would you identify the specific facilities that would
6 be built?

7 A Do you want me to read the listing off this page?

8 Q Well, hang on a second. We're trying to get a copy
9 to follow along. And where would the corresponding portfolio
10 appear for the Martin and Manatee simultaneous scenario?

11 A That would be the All-FPL scenario, and Appendix M is
12 located on Page M25.

13 Q The facilities listed on the two pages you identified
14 are not the same. Why would they be different?

15 A Because the impact of integrating the capacity
16 resources in a different manner is different. When you
17 integrate Manatee plus P5 in portfolio two or plan two as it
18 was called, you have a different impact on the transmission
19 system. If you look at the All-FPL plan on Page M25, we are
20 integrating both the Martin and the Manatee units in 2005 and
21 the impact on the transmission system is different. The
22 integration requirements are different. It goes to the
23 description I gave before, I think, in my summary and also that
24 is located in my testimony. It is the amount of balance
25 between the east and west coasts of Florida as you add capacity

1 resources to the system. There are a lot of other variables,
2 but that is what we are seeing here as the effect of the
3 balance between east and west, and we are bringing into play
4 the requirement to upgrade some of the east to west facilities
5 as well as some others.

6 Q Do I understand correctly that Martin has the impact
7 or the effect of balancing the impact that Manatee would have
8 on the west coast?

9 A I think you have the basic concept correct. I think
10 that one of the factors is the location and the amount of
11 megawatts being installed, and in this particular scenario, the
12 All-FPL scenario, there is a loading distinction that doesn't
13 require some of the facility upgrades. In other words, some of
14 the facilities aren't under contingency conditions loaded as
15 heavily.

16 Q If Manatee were added in one year and Martin added in
17 a subsequent year, would Martin continue to have that impact?

18 A It would not in the initial year, of course. What I
19 did in my integration study is I developed a plan, determined
20 the facilities, the most economic facilities required to
21 integrate those capacity resources into the grid according to
22 NERC criteria. So in that initial year you have to build the
23 facilities or you are in violation of the NERC criteria. To
24 try to answer your question, when you get to the state where in
25 2006 you would add the Martin unit at that point, the system

1 should be in equilibrium. We should be okay with respect to
2 the plan that was developed and checked in 2007. In other
3 words, what I'm trying to say is I did an analysis for the
4 All-FPL plan in 2005, but I also checked in 2007 to make sure
5 that the plan was still good. We did that with every one of
6 the portfolios, even in this one where things came into service
7 in one particular year. I had to check and make sure that at
8 least in 2006 and 2007 the integration plan was still adequate.

9 Q Did you examine and can you describe specifically
10 what problems occur if Manatee is added on the west coast and
11 Martin is not added simultaneously?

12 A Yes, I believe I can. At a high level what we have
13 is a plan that doesn't meet NERC criteria, and what we would
14 find then is that you have effected basically the reliability
15 of this transmission system. We have under first contingency
16 condition facilities that are going to be overloaded unless we
17 adjust the system operating point, which basically means
18 redispatch. However, I think one of the things to focus on is
19 that I was developing an integration plan on an exactly
20 equivalent basis for each one of these groupings of capacity
21 resources. If we make a decision in any one of those capacity
22 resource plans to not build a transmission facility, what we
23 are doing is basically saying we are not going to integrate the
24 full amount of those capacity resources. So it makes some of
25 that generation unavailable for serving load.

1 Q How much would Manatee be limited in that situation?

2 A I don't know, and I don't know if it would be
3 Manatee. I think I can make the statement on the basis of
4 reviewing -- as these questions were developing, reviewing the
5 portfolios that I looked at and looking at the balance between
6 east and west. I think the amount of capacity that might
7 become unavailable to the system and it might not all be just
8 Manatee, it may be some other generators being adjusted, is
9 going to be in the order of several hundreds of megawatts,
10 potentially several hundred megawatts, which I think needs to
11 be understood in the context of reserve margin, also.

12 Q Do you know how often it would be unavailable and for
13 what period of time?

14 A No, you don't.

15 Q Looking more closely at M21, Mr. Stillwagon.

16 A Yes, sir.

17 Q Let me ask you with respect to several of the
18 upgrades identified on the right-hand side, can you tell me,
19 for instance, with respect to the Orange River/Corbett 230 kV
20 upgrade whether that relates to the addition of Manatee or
21 something else?

22 A I can only tell you that it relates to the -- the
23 projects required here, the upgrades and the new circuits are
24 grouped by year. So the way to read a portfolio or the plan
25 integration facility requirements that I developed is to look

1 at what is grouped by year. And what we can say or what I can
2 say with certainty is that these upgrades that I have
3 identified for summer 2005 are the ones required for Manatee
4 plus the FPC system sale of 50 megawatts. So I can't tell you
5 which one. The study didn't term which is assigned to any
6 particular block or anything. That can't be done. But in the
7 group those two facilities together, those two capacity
8 resources require those transmission additions.

9 Q Is it safe to say or can you determine from your
10 studies that the 50-megawatt sale would contribute to the need
11 for the facilities that are identified here?

12 A It may have. I don't know if I took the 50 megawatts
13 out and redid the study if I would still need the same
14 facilities. The 50 megawatts doesn't sound like much, but
15 sometimes the effect -- loadflows are not linear. The only way
16 to know is to run the model. I know that for the combination
17 of Manatee plus the 50 megawatts, we need these facilities.

18 Q Based on your answers Mr. Stillwagon, do I understand
19 correctly that you have not prepared a study that looks at
20 Manatee, only Manatee being only -- let me start that one
21 again. A study that assumes that only Manatee 3 has been added
22 in 2005?

23 A That is correct, and I have not done that. I think
24 the really closest parallel we have got is this one in
25 portfolio two which has just the extra 50 megawatts. That is

1 the closest thing.

2 Q And the facilities that you have identified here are
3 all intended to deal with this problem of transporting power
4 from west to east that you describe in your prefiled testimony?

5 A Yes, but let me clarify. If you look at the -- I
6 believe you are speaking to 2005.

7 Q I am.

8 A Okay. With respect to 2005, the answer is yes, but
9 what we have to be careful is, and I don't want to confuse
10 anyone, if you look at a map, if you look at one of the FRCC
11 maps and look at these substation names, the transmission line
12 circuits here are labelled by the substation designations that
13 they go from and to. Some of these are in a north/south
14 arrangement on the west coast. For instance, the ones
15 obviously connecting to Manatee are near Manatee plant. They
16 leave from Manatee plant and basically go south, but they are
17 essentially supporting that west to east flow because the west
18 to east flow that I have described has to essentially get down
19 to about Fort Myers before it can go east in any significant
20 amount. The major facilities connecting the west to the east
21 in Florida in the southern half are basically from Fort Myers
22 to the east.

23 Q And just to confirm my understanding of things, if
24 one were to install Martin 8 and not Manatee, would that entail
25 some relief on this west to east loading situation that you

1 described?

2 A In other words, the question is if we installed -- if
3 we reversed the order of the generators?

4 Q Yes.

5 A I don't think I have a portfolio that is anything
6 like that. I do have some portfolios that were given to me
7 that have Martin and other generators or RFP respondents in
8 combination and we would have to wade through some of those to
9 take a look at perhaps trying to find one with the smallest
10 amount. I think what you will find although in almost every
11 one of these is that you are going to have resources required.
12 There is probably going to be a difference in the impact to the
13 west to east facilities, but what we would have to do is take a
14 look at for that particular scenario that has Martin combined
15 with some other RFP respondent.

16 Q Let me have you focus on number three, which is the
17 fifth line from the bottom which shows Martin and P32 in 2005
18 and Manatee in 2006?

19 A Okay.

20 Q Compared to the other cases that we were looking at,
21 would that indicate to you that there are fewer problems
22 accommodating that combination than with the earlier scenario?

23 A Well, a couple of observations can be made. You have
24 got a slightly different listing of facilities, of course. You
25 might even say significantly different. We haven't picked up

1 the west to east circuits if you noticed, we don't see the
2 Orange River/Corbett, or Fort Myers/La Belle, La Belle/Montura.

3 Q Which page is that?

4 A I was just referring back and forth between -- I
5 think the comparison that you are asking me is basically the
6 comparison of M21, which is plan two or portfolio two as I have
7 labelled it on that sheet. With portfolio three or plan three
8 which is Page M22. I'm sorry, I didn't give you the sheet
9 reference, did I, when we jumped from the table over to the
10 sheet. I apologize.

11 Q We have that in front of us now. Would you continue
12 your answer?

13 A As I was saying, we don't have the west to east
14 facilities in play in this particular portfolio, but we do have
15 upgrades on the east coast. I think one of the distinctions is
16 we see that the circuits that are required, the new circuits
17 that are required on the east coast, the Martin/Indiantown and
18 Indiantown/Bridge are required, of course, in 2005 because we
19 are putting a resource on the east coast instead of on the west
20 coast. But note that we have got several other facilities
21 there. I would point out that the total cost of this portfolio
22 from an integration perspective was \$22,100,000, and that is in
23 direct costs, of course.

24 Q Yes. That is the same total as the plan All-FPL, is
25 that a coincidence or does that just happen to produce the same

1 upgrades?

2 A It is basically a coincidence. I think if you look
3 at the sheets you will see that there are different facilities.
4 We have some of the same facilities, but there are some
5 differences.

6 MR. McGLOTHLIN: Those are all my questions. Thank
7 you.

8 MR. PERRY: I don't have any questions, Madam
9 Chairman.

10 CHAIRMAN JABER: Staff.

11 MS. BROWN: No questions.

12 CHAIRMAN JABER: Commissioners. We have one exhibit,
13 FPL Exhibit 23, DRS-1 through DRS-3. Without objection,
14 Exhibit 23 is admitted into the record.

15 Thank you, Mr. Stillwagon, you are excused.

16 (Exhibit 23 admitted into the record.)

17 CHAIRMAN JABER: Our next witness is Alan S. Taylor.

18 MR. HILL: Madam Chairman, I understand he upstairs.
19 It will take us just a moment to get him. If you would prefer
20 to break briefly, we can, or we can just hustle and get him.
21 It is your pleasure.

22 CHAIRMAN JABER: Is Mr. Yupp in the room?

23 MR. HILL: Yes, he is.

24 CHAIRMAN JABER: Is there a real objection to taking
25 him next?

1 MR. MOYLE: I would indicate I understand that Mr.
2 Yupp may be inconvenienced as well as counsel may be inconvenienced
3 by Mr. Yupp going first. And I may have a similar situation
4 tomorrow, so CPV surely has no objection to Mr. Yupp going out
5 of order.

6 CHAIRMAN JABER: I'm just looking at the number of
7 issues that each one covers. It seems like we may be able to
8 finish Mr. Yupp tonight. Do you all agree?

9 MR. MCGLOTHLIN: Yes.

10 CHAIRMAN JABER: All right. Well, if it is okay with
11 everyone then let's go ahead and take up Gerard Yupp.

12 Thereupon,

13 GERARD YUPP

14 was called as a witness on behalf of Florida Power and Light,
15 and having first been duly sworn, was examined and testified as
16 follows:

17 DIRECT EXAMINATION

18 BY MR. HILL:

19 Q Mr. Yupp, have you been sworn?

20 A Yes, I have.

21 Q Could you please state your name and professional
22 address?

23 A My name is Gerard Yupp. My business address is 11770
24 U.S. Highway 1, North Palm Beach, Florida 33408.

25 Q By whom are you employed and in what capacity?

1 A I am employed by Florida Power and Light Company as
2 manager of regulated wholesale power trading.

3 Q And did you have occasion to prefile direct testimony
4 in this docket consisting of nine typewritten pages?

5 A Yes, I did.

6 Q And do you have an errata sheet to that testimony?

7 A No, I do not.

8 Q If I were to ask you the questions contained in your
9 prefiled testimony, would your answers be the same?

10 A Yes, they would.

11 MR. HILL: We would ask that the prefiled direct
12 testimony of the witness be inserted into the record as read.

13 CHAIRMAN JABER: The prefiled direct testimony of
14 Gerard Yupp shall be inserted into the record as though read.

15

16

17

18

19

20

21

22

23

24

25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF GERARD YUPP**

4 **DOCKET NOS. 020262-EI, 020263-EI**

5 **JULY 16, 2002**

6
7 **Q. Please state your name and address.**

8 A. My name is Gerard Yupp. My business address is 11770 U. S. Highway One,
9 North Palm Beach, Florida, 33408.

10
11 **Q. By whom are you employed and what is your position?**

12 A. I am employed by Florida Power & Light Company (FPL) as Manager of
13 Regulated Wholesale Power Trading in the Energy Marketing and Trading
14 Division.

15
16 **Q. Please summarize your educational background and professional
17 experience.**

18 A. I graduated from Drexel University with a Bachelor of Science Degree in
19 Electrical Engineering in 1989. I joined the Protection and Control Department
20 of FPL in 1989 as a Field Engineer and worked in the area of relay engineering.
21 While employed by FPL, I earned a Masters of Business Administration degree
22 from Florida Atlantic University in 1994. In May of 1995, I joined Cytec
23 Industries as a plant electrical engineer where I worked until October of 1996.
24 At that time, I rejoined FPL as a real-time power trader in the Energy Marketing

1 and Trading Division. I moved from real-time trading to short-term power
2 trading and assumed my current position in February of 1999.

3
4 **Q. Please describe your duties and responsibilities in that position as they**
5 **relate to this docket.**

6 A. I am responsible for supervising the daily operations of wholesale power trading
7 as well as developing longer term power and fuel strategies. Daily operations
8 include: fuel allocation and fuel burn management for FPL's oil and/or natural
9 gas burning plants, coordination of plant outages with wholesale power needs,
10 real-time power trading, short term power trading, transmission procurement and
11 scheduling. Longer term initiatives include conducting monthly fuel planning
12 and evaluating opportunities within the wholesale power markets based on
13 forward market conditions, FPL's outage schedule, fuel prices and transmission
14 availability.

15
16 **Q. What is the purpose of your testimony?**

17 A. The purpose of my testimony is to present and explain: (1) the transportation
18 alternatives to supply the proposed Martin Unit 8 and Manatee Unit 3 projects
19 with fuel; (2) the reasons why Manatee Unit 3 does not need to be designed with
20 the capability to utilize low sulfur light oil; (3) the availability of gas supply to
21 the proposed Martin Unit 8 and Manatee Unit 3 projects; (4) the long-term fossil
22 fuel price forecast used in the evaluation of the proposals received under the
23 Supplemental Request for Proposal (Supplemental RFP) process; and (5) the

1 long-term firm natural gas transportation cost assumptions used by FPL in its
2 Supplemental RFP evaluation for FPL project options and outside proposals that
3 did not provide a guaranteed natural gas transportation cost.
4

5 **Q. Are you sponsoring any portion of the Need Study document or appendices**
6 **for this proceeding?**

7 A. Yes. I sponsor Section V.B.2. and Appendix H of the Need Study (FPL's Fuel
8 Cost and Availability Forecast) plus any portion of the Need Study discussing
9 long-term natural gas supply alternatives and firm natural gas transportation
10 costs.
11

12 **Q. How will fuel be supplied for the Martin Unit 8 project?**

13 A. The Martin Unit 8 project is capable of burning both natural gas and low sulfur
14 light oil. Two natural gas pipeline laterals, both tied to the Florida Gas
15 Transmission System (FGT) interstate pipeline, currently serve the Martin site.
16 One of these laterals serves as both a residual fuel oil and natural gas pipeline for
17 the existing Martin Units 1 and 2. This dual service pipeline (south) lateral is
18 not utilized for natural gas transport to the existing Martin Units 3 and 4, nor
19 would it be used for the new Unit 8, due to potential fuel contamination issues
20 caused by oil residue in the pipeline. The other existing natural gas pipeline
21 (north) lateral is not adequate to supply the entire natural gas demand, during
22 peak periods, of Martin Units 3, 4 and 8. Therefore, an additional lateral or
23 additional compression will be required to ensure sufficient supply of natural gas
24 to the Martin site.

1 Potential natural gas suppliers with permitted mainlines running adjacent to
2 FPL's property, such as Gulfstream Natural Gas Systems (Gulfstream) and FGT,
3 would independently undertake the necessary permitting and construction
4 activities for any new lateral. Alternatively, FGT would independently
5 undertake the necessary permitting and construction activities to add
6 compression on the existing north lateral pipeline to the Martin site.

7
8 Low sulfur light oil would be trucked to the site and stored in both the existing
9 two million gallon tank and a new two million gallon tank that would be built as
10 part of the project. The four million gallons of storage represents about three
11 days of light oil burn at continuous full-capacity operation of Martin Unit 8.

12
13 While no final determination has been made regarding which pipeline(s) may be
14 constructed, or whether compression will be added to supply natural gas for the
15 Martin Unit 8 project, or which firms may truck low sulfur light oil to the site, I
16 am confident that there will be adequate resources available to transport both
17 fuels to Martin Unit 8. There are multiple potential pipeline alternatives for
18 natural gas and several trucking firms available to move low sulfur light oil as
19 needed.

20
21 **Q. How will fuel be supplied for the Manatee Unit 3 project?**

22 **A.** The proposed Manatee Unit 3 project will burn natural gas. FPL has executed
23 an interruptible transportation agreement with Gulfstream to deliver natural gas

1 for the existing Manatee Units 1 and 2 through a recently installed lateral from
2 the Gulfstream mainline. This new lateral from the Gulfstream mainline is
3 sufficient in size to deliver natural gas to Manatee Units 1, 2 and 3 during peak
4 periods.

5
6 Natural gas for Manatee Unit 3 will be delivered via this new lateral or from
7 another natural gas supplier that would independently undertake the necessary
8 permitting and construction activities. FPL does not presently intend to provide
9 the capability for Manatee Unit 3 to burn low sulfur light oil.

10
11 **Q. Why is the proposed Manatee Unit 3 project designed without the**
12 **capability to utilize low sulfur light oil?**

13 **A.** FPL does not believe that a backup fuel supply is needed for the Manatee Unit 3
14 project at this time, because natural gas transportation alternatives will be
15 available for the Manatee site. The Manatee site is connected to the Gulfstream
16 mainline. In addition, with the completion of Phase I of the Gulfstream system
17 in June of 2002, Gulfstream will have two interconnections with FGT. One
18 interconnection is in Hardee County, with a design capacity of 300,000
19 MMBtu/day, and the other interconnection, expected to be complete by August
20 of 2002, is in Osceola County, with a design capacity of 200,000 MMBtu/day.
21 Under normal conditions, these two interconnections will flow natural gas from
22 Gulfstream into FGT. However, under unusual situations, if Gulfstream is
23 unable to serve the State of Florida, the flow from these two interconnections

1 can be reversed, and natural gas can flow from FGT into Gulfstream to the
2 Manatee Site. With the Hardee County interconnect only 29 miles from the
3 Manatee plant, FPL will have the capability to receive natural gas from FGT,
4 from either the Hardee County or Osceola County interconnects, should
5 Gulfstream be unable to receive natural gas from its source into Florida.
6 Therefore, the Manatee site will have the ability to receive natural gas from two
7 interstate pipeline systems.

8
9 In the event of an interruption of natural gas supply on both the Gulfstream and
10 FGT pipeline systems coming into Florida, Manatee Unit 3 would be removed
11 from service until supply was restored from either system. However, it is very
12 unlikely that both pipeline systems would be out of service at the same time.

13
14 **Q. In your opinion, is it reasonable for FPL to rely principally upon natural
15 gas to fuel the Martin Unit 8 and Manatee Unit 3 projects?**

16 **A.** Yes. The arrangements FPL proposes for delivering natural gas to the Martin
17 Unit 8 and Manatee Unit 3 projects, as discussed above, will provide
18 adequate, reliable, and redundant capability.

19
20 Additionally, FPL has had many years of experience with procuring and
21 burning natural gas in its power plants and has found the supply of natural gas
22 to be reliable and adequate to meet the needs of FPL. Currently, there are
23 significant quantities of proven natural gas reserves in the United States, as

1 well as supply from U.S. production, Canadian imports and Liquefied Natural
2 Gas (LNG) imports, to sufficiently meet the growing natural gas demand of
3 the United States. According to recent data from the Department of Energy
4 (DOE-EIA), there is adequate supply and projected natural gas reserves
5 available in the United States to meet the natural gas demand for at least the
6 next 25 years.

7
8 Also, it is my understanding, that the majority of proposals that were
9 submitted to FPL in response to the Supplemental RFP would have natural gas
10 as their principal or sole fuel source, indicating that FPL is not alone in its
11 assessment of the availability of reliable and economic sources of natural gas
12 supply.

13
14 **Q. What fuel forecast was used in the evaluation of the FPL construction**
15 **options and outside proposals received in response to the Supplemental**
16 **RFP process?**

17 A. On a monthly basis, FPL updates its thirty year monthly long-term fossil fuel
18 price forecast for oil, natural gas, coal, and petroleum coke, as well as the long-
19 term availability of natural gas to Florida. Consistent with this practice, the
20 May, 2002, update of the FPL long-term fossil fuel price and natural gas
21 availability forecast was used to evaluate the proposals received under the
22 Supplemental RFP process. The May, 2002 fuel price forecast is provided in
23 Appendix H of the Need Study document.

1 **Q. What are the long-term firm natural gas transportation costs assumed by**
2 **FPL in its Supplemental RFP evaluation for FPL construction options and**
3 **outside proposals that did not provide a guaranteed natural gas**
4 **transportation cost?**

5 A. FPL assumed that the long-term FTS-2 demand charge on FGT is about
6 \$0.76/MMBTU. This assumption is based on FPL's current experience with the
7 Phase III, IV, and V expansions of the FGT system and FPL's understanding,
8 based on discussions with FGT, of future expansions on the FGT system. FPL
9 assumed that the long-term firm demand charge on Gulfstream would be
10 \$0.60/MMBTU. This assumption is based an understanding in the industry of
11 the current proposed firm demand charge on the Gulfstream pipeline system.

12
13 **Q. Does FPL believe that there would be a continuing difference in FGT's and**
14 **Gulfsteam's firm natural gas transportation costs as discussed above?**

15 A. Yes, FPL has assumed that this difference in FGT's and Gulfstream's firm
16 natural gas transportation costs will continue through the planning horizon.

17
18 **Q. Were the long-term natural gas transportation assumptions discussed**
19 **above provided to Dr. Sim and Mr. Taylor for their analyses in evaluating**
20 **the FPL projects and the projects received from the Supplemental RFP**
21 **bidders?**

22 A. Yes, these assumptions were provided to Dr. Sim, who then provided them to
23 Mr. Taylor. They were used for both the FPL and Sedway Consulting

1 evaluations.

2

3 **Q. Are the assumptions on the firm natural gas transportation costs identified**
4 **above reasonable?**

5 A. Yes, these assumptions are reasonable. They are based on FPL's extensive
6 experience in the procurement and transportation of natural gas to our existing
7 units and the best information available in the industry.

8

9 **Q Does this conclude your testimony?**

10 A. Yes, it does.

1 BY MR. HILL:

2 Q And did you also have occasion to prefile exhibits in
3 this docket?

4 A No. Well, I sponsor Section 5B2 and Appendix H of
5 the need study.

6 Q And are those portions of the need study that you
7 sponsor true and correct to the best of your knowledge and
8 belief?

9 A Yes, they are.

10 MR. HILL: I would tender the witness for cross
11 examination.

12 CHAIRMAN JABER: Thank you. Mr. Moyle.

13 MR. HILL: Oh, I'm sorry, he needs his summary.

14 CHAIRMAN JABER: For nine pages now. You need to
15 remember you have nine pages of testimony.

16 THE WITNESS: I will go very fast.

17 MR. HILL: A brief summary, Mr. Yupp.

18 CHAIRMAN JABER: Even shorter than that.

19 THE WITNESS: Good evening, Madam Chairman and
20 Commissioners. My direct testimony in these dockets addresses
21 three main areas, the fuel price forecast that was used in the
22 supplemental RFP evaluation, the types of fuel that are planned
23 for the proposed Manatee 3 and Martin Unit 8 projects, and also
24 the availability of fuel as well as the supply alternatives to
25 each proposed site.

1 First, on a monthly basis FPL updates its 30-year
2 long-term fuel price forecasts for oil, natural gas, coal and
3 petroleum coke as well as the long-term availability of natural
4 gas to Florida. Consistent with this practice, the May 2002
5 forecast was used to evaluate FPL's self-build options, as well
6 as outside proposals received under the supplemental RFP, but
7 did not include guaranteed fuel commodity and/or transportation
8 costs. As stated in Section 5B2 of the need study, which I
9 sponsor, FPL's fuel price forecast methodology is consistent
10 with the methodology used by leading industry consultants such
11 the Pyra Energy Group, (phonetic), Cambridge Energy Research
12 Associates, and many other consultants.

13 The proposed Martin Unit 8 project is planned to have
14 natural gas as the primary fuel source and low sulfur light oil
15 as the backup fuel source. Potential natural gas suppliers,
16 such as Florida Gas Transmission, and suppliers with permitted
17 mainlines running adjacent to Martin, such as Gulfstream
18 Natural Gas Systems offer FPL alternatives for natural gas
19 supply to Martin. Low sulfur light oil will be used as a
20 backup fuel then stored in an existing 2 million-gallon tank as
21 well as an additional 2-million gallon tank will be constructed
22 as part of the Martin Unit 8 project.

23 Manatee Unit Number 3 is proposed to burn only
24 natural gas, and unlike Martin, Manatee is not designed with
25 light oil backup because natural gas transportation

1 alternatives available for Manatee can provide the necessary
2 redundancy for fuel supply. FPL currently has an interruptible
3 transportation agreement with Gulfstream to deliver natural gas
4 to the existing Manatee Units 1 and 2 who were recently
5 installed lateral from the Gulfstream mainline.

6 The Gulfstream mainline has two interconnections with
7 the FGT mainline. The normal flow will be from -- I'm sorry,
8 the normal flow on this will be -- natural gas will flow from
9 Gulfstream to FGT, however during abnormal conditions if
10 Gulfstream is unable to serve Florida, the flows can be
11 reversed and Manatee can be supplied from FGT through
12 Gulfstream to the plant. Therefore, Manatee will have the
13 ability to receive natural gas from two interstate pipelines.
14 This configuration provides the necessary backup to ensure the
15 reliable delivery of natural gas to Manatee.

16 The reliability and availability of natural gas is
17 supported by three main points. First, that FPL has had many
18 years of experience with procuring and burning natural gas in
19 its power plants and has found the supply of natural gas to be
20 reliable and adequate to meet the current and long-term needs
21 of FPL and its customers.

22 The second point, there are significant quantities of
23 proven natural gas reserves in the United States as well as
24 supply from US production, Canadian imports, and L&G imports to
25 sufficiently meet the growing natural gas demand of the United

1 States. And, in fact, according to recent data from the
2 Department of Energy there is adequate supply and projected
3 natural gas reserves available in the United States to meet
4 natural gas demand for at least the next 25 years.

5 And the final point is that it is my understanding
6 that a majority of the proposals submitted in the supplemental
7 RFP would have natural gas as their principle or sole fuel
8 source, which indicates that FPL is not alone in its assessment
9 of the availability of reliable and economic sources of natural
10 gas supply. Therefore, FPL believes it is reasonable to rely
11 principally on natural gas to fuel the proposed Manatee and
12 Martin capacity additions. The alternative for fuel supply and
13 transmission to the proposed Manatee Unit 3 and Martin Unit 8
14 provide fuel diversity and will provide adequate, reliable, and
15 redundant capability. And that concludes my summary.

16 MR. HILL: We tender the witness for cross
17 examination.

18 CHAIRMAN JABER: Mr. Moyle.

19 MR. MOYLE: Thank you.

20 CROSS EXAMINATION

21 BY MR. MOYLE:

22 Q Mr. Yupp, you have been in the room for the last
23 couple of days, have you not?

24 A I have been in the room today.

25 Q Okay. There was some discussion about an exhibit

1 that was not admitted into evidence, but has been talked about,
2 and without waiving any objection to that, are you familiar
3 with this document which represented a higher system fuel cost
4 of \$55 million?

5 A No, I'm not.

6 Q As part of your duties and responsibilities, are you
7 involved in projecting fuel costs?

8 A That function is done within my group at FPL, yes.

9 Q But you don't have any information about a \$55
10 million increase cost if you did only the Manatee plant and not
11 the Martin conversion?

12 MR. HILL: I object to the question without showing
13 the witness the document. I think it is unfair to ask him a
14 question without showing him the source.

15 CHAIRMAN JABER: Mr. Moyle, do you want to pursue
16 that question or are you interested in --

17 MR. MOYLE: I will move on. I think he said he
18 didn't have much information. I will withdraw the question.

19 BY MR. MOYLE:

20 Q I read in your testimony that you are responsible or
21 have responsibility for short-term power trading, is that
22 right?

23 A Yes.

24 Q And what is short-term power trading?

25 A Generally my group focuses on the short-term up to

1 make two to three months out, but really hourly. We trade 24
2 hours a day, next day, next week, maybe up to a couple of
3 months out is our primary focus.

4 Q I think the preceding witness, Mr. Avera, was asked
5 by Commissioner Bradley about short-term, and I think he
6 indicated short-term may be three years. Is that consistent
7 with your view, a short-term deal may be three years or less?

8 A There can be a lot of interpretations of that, but,
9 yes, three years could be short-term.

10 Q Have you been asked by anybody to give your opinion
11 as to whether there might be 15 megawatts available in the
12 market in the year 2005 to purchase on a short-term one year
13 basis?

14 MR. HILL: Objection, it's outside the direct
15 testimony.

16 MR. MOYLE: I saw on Page 2 here that he is in charge
17 or he has responsibility for short-term power trading. On Page
18 2, Line 10.

19 CHAIRMAN JABER: And your question?

20 MR. MOYLE: I asked him if he had been asked by
21 anybody with respect to whether there was 15 megawatts of power
22 in the market in 2005.

23 CHAIRMAN JABER: I will allow the question.

24 THE WITNESS: Have I been asked by anybody? No, I
25 have not. 2005 would really be out of the range that I would

1 be dealing in. Again, most of what we are doing is focussing
2 on the short-term needs for FPL. 2005 is significantly out in
3 the future, so, generally that would not be something we would
4 look at.

5 BY MR. MOYLE:

6 Q Right now as we sit here is the market in your view
7 liquid, the wholesale market?

8 A To a certain extent. It's hard to define liquidity,
9 and I don't know what you mean by liquid, in your opinion what
10 liquid is. Do we trade substantial volumes of power on an
11 hourly and daily basis, yes, we do.

12 Q And when you say substantial volumes, what would that
13 be?

14 A Typically on any given day, and these are rough
15 estimates, we may buy 2,000 to 3,000 megawatt hours, sell 2,000
16 to 3,000 megawatt hours. It is fairly substantial. Those
17 aren't always the numbers, but we are consistently doing
18 trading on an hourly basis. So, yes, from that standpoint the
19 market is fairly liquid.

20 Q You don't have any reason to believe that that
21 wouldn't be the case in 2005, do you?

22 A It would be hard to make a projection out that far.
23 Florida, as most people know, is a little transmission limited
24 getting into the state, and so at times it is a little
25 difficult to procure power from outside of the state which

1 limits the number of people that are in the market to a certain
2 extent, although that has increased over the last year. 2005,
3 I just think it is too far out that I could even make a
4 rational guess on whether the market will be the same or not.

5 Q Okay. Your fuel costs that you have testimony about
6 with respect to how the plants are going to be supplied --

7 A Yes.

8 Q -- are there firm contracts in place for the
9 commodity or the transportation for either the Manatee or the
10 Martin facility?

11 A At the current time there are not firm contracts in
12 place. However, we will be securing firm contracts for fuel
13 supply and transportation as we stated in the need study
14 document. We are just currently in negotiations right now to
15 try to get the best deal that we can or bring the best value
16 that we can to our customers.

17 Q And you haven't decided who is even going to supply
18 the fuel to you, correct?

19 A Gulfstream was used in the evaluations and obviously
20 they would be a strong candidate, but there are numerous
21 alternatives. But Gulfstream was used for evaluation purposes.

22 Q Okay. So then the answer to my question, and you
23 have heard the practice here about yes and no, the answer to my
24 question is that FPL has not decided on a supplier for gas,
25 correct?

1 A The answer would be no.

2 Q Now, I had some questions with respect to the fuel
3 cost estimates and the forecasts. Were you involved in that
4 process?

5 A I am not directly involved in creating the fuel
6 forecast, that is done within my group or within the division
7 that I work in by another individual. I sponsor the fuel
8 forecast and have reviewed it for reasonableness.

9 Q Do you know what assumptions, if any, were taken into
10 account given the current political situation in the Middle
11 East?

12 A At the time that this fuel forecast was created,
13 which was May of 2002, I'm not sure that that political
14 situation has progressed to the extent that we are at now. I
15 don't know if that specifically was taken into account.
16 Obviously in the fuel forecast many assumptions are taken into
17 account from political situations to supply demand balances to
18 the economy, so it may or may not have. Some form of it would
19 have been.

20 Q So you believe some form of it --

21 A I'm speaking from a general standpoint that the
22 political or political happenings or arena are taken into
23 account in the fuel forecast.

24 Q But specifically, and I guess the record should be
25 clear I'm talking about the situation with Iraq. You don't

1 know whether that has or has not been taken into account?

2 A I do not know that for a fact.

3 Q Mr. Silva said in his testimony that portfolios that
4 do not include firm fuel transportation are inherently more
5 risky in terms of reliability. Do you agree with that
6 proposition?

7 MR. HILL: Could we have a cite to the testimony?

8 MR. MOYLE: Page 43, Line 15, "Other portfolios that
9 do not include firm fuel transportation arrangements are
10 inherently more risky in terms of reliability."

11 BY MR. MOYLE:

12 Q Do you agree with that statement?

13 A Yes, I do agree with that statement.

14 Q And I think I have already asked you and established
15 that you don't have any contracts in place, correct?

16 A At this time, no, we do not.

17 MR. MOYLE: I have no further questions.

18 CHAIRMAN JABER: Thank you, Mr. Moyle.

19 Mr. McGlothlin.

20 CROSS EXAMINATION

21 BY MR. MCGLOTHLIN:

22 Q Mr. Yupp, I believe you said in response to a
23 question from Mr. Moyle that there are something like 2,000
24 megawatt hours available on a short-term basis on any given
25 day, did I hear that correctly?

1 A Actually what I said is we may just from an
2 approximate standpoint, Florida Power and Light may trade
3 anywhere from 2,000 to 3,000 megawatts hours a day, maybe both
4 purchase and sell on any given day.

5 Q If the question were in terms of what is available to
6 purchase on any given day, would your answer be different?

7 A Yes, it would. What is available and we would have
8 to clarify I am speaking in megawatt hours based on a daily
9 basis. If the question is what is available on an hourly basis
10 in megawatts, yes, my answer would be different.

11 Q What is that answer?

12 A There is a wide range of possibilities there. It
13 could be anywhere from zero megawatts to 1,000 megawatts. It
14 really depends on weather conditions in the state, outside of
15 the state, the availability of transmission into the state,
16 there are so many factors that effect how much power is
17 available, unit outages, that it is just difficult to pin it
18 down.

19 Q You are speaking of transactions on an hourly or
20 daily basis, though, is that correct?

21 A Yes, I am.

22 MR. McGLOTHLIN: Thank you. No further questions.

23 MR. PERRY: I have no questions.

24 CHAIRMAN JABER: Staff.

25 MS. BROWN: Just a few.

CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MS. BROWN:

Q Mr. Yupp, on Page 3, Lines 14 and 15 of your testimony you state that FGT currently serves Martin 1 and 2, is that correct?

A Yes, that is correct.

Q Is FGT going to serve Martin 3, 4, and 8?

A FGT does -- actually FGT currently also serves Martin Units 3 and 4, and as pointed out in the testimony there, the lateral that serves those units is not sufficient in size to carry Martin 3, 4, and 8, so there will be other provisions made.

Q Mr. Moyle asked you whether you had signed contracts for transportation and supply, and I assume he meant for both plants, proposed projects, and you answered that you do not. Can you give the Commission an estimate of when you will have signed contracts?

A It is hard to give an estimate. I think that the bottom line is FPL will enter into firm contracts for both supply and transportation when the time is appropriate, and to clarify that I think the appropriate time is when we feel that we have negotiated the best deal, the best value that we can for our customers. It could be soon. Probably sooner than later is the best answer, but when we feel that we have exhausted all possibilities and, again, negotiated the best

1 value that we can, then we will enter into those agreements.
2 But it is clear that we will enter into firm agreements.

3 Q Will you assert to the Commission today that you will
4 provide the Commission copies of the signed contracts as soon
5 as you have them?

6 A That I don't know. I would assume that can be done.

7 Q Thank you. On Page 4 and 5 of your testimony you
8 state that FPL has an agreement with Gulfstream to deliver
9 natural gas for the existing Manatee 1 and 2 plants through the
10 installed lateral that you were talking about earlier?

11 A Yes.

12 Q And later on on Lines 6 and 7 on Page 5 you state
13 that the natural gas transportation for Manatee 3 will be
14 delivered via this new lateral or from another natural gas
15 supplier. Who is the other potential gas supplier?

16 A For the Manatee facility, FGT has a lateral that runs
17 approximately within 14 miles, I believe, of the plant. So FGT
18 could be a potential supplier for Manatee.

19 Q All right. Do you know whether the majority of the
20 bidders in their responses to FPL's request for proposals asked
21 that FPL use its own fuel forecasts in evaluating their bids?

22 A Let me make sure I understand the question. You are
23 asking do I know how many bidders asked that FPL use its fuel
24 forecast, meaning FPL's fuel forecast to evaluate their bids?

25 Q Yes.

1 A I do not know the answer to that question, no.

2 MS. BROWN: All right. That's all I have. Thank
3 you.

4 CHAIRMAN JABER: Commissioners. Redirect.

5 MR. HILL: No. Thank you, Chairman Jaber.

6 CHAIRMAN JABER: Thank you.

7 MR. HILL: And may the witness be excused from the
8 proceedings?

9 CHAIRMAN JABER: Yes.

10 MR. HILL: Thank you.

11 CHAIRMAN JABER: Let me ask the parties, Mr. Dewhurst
12 or Mr. Taylor, where do we have a better chance of finishing
13 before 6:00, which witness?

14 MR. MOYLE: My vote would be Mr. Taylor.

15 CHAIRMAN JABER: Okay. Alan S. Taylor. Just to give
16 you notice, also we have to take Mr. Maurey up tomorrow
17 sometime. Just to let everyone know.

18 Thereupon,

19 ALAN S. TAYLOR

20 was called as a witness on behalf of Florida Power and Light,
21 and having first been duly sworn, was examined and testified as
22 follows:

23 DIRECT EXAMINATION

24 BY MR. NIETO:

25 Q Mr. Taylor, could you please state your name and

1 business address for the record?

2 A My name is Alan S. Taylor, Sedway Consulting, 5511
3 Northfork Court, Boulder, Colorado 80301.

4 Q You have previously been sworn, correct?

5 A Yes, I have.

6 Q By whom are you employed and in what capacity?

7 A I am employed by Sedway Consulting and I am the
8 president of the firm.

9 Q Were you retained on behalf of FPL in this
10 proceeding?

11 A Yes, I am.

12 Q Mr. Taylor, have you prefiled direct testimony
13 consisting of 20 pages and Exhibits AST-1 and AST-2?

14 A Yes, it is one single exhibit with Documents AST-1
15 and AST-2.

16 Q Did you prepare that testimony and exhibits?

17 A Excuse me?

18 Q Did you prepare that testimony and exhibits?

19 A Yes, I did.

20 Q And have you prefiled an errata sheet to your
21 exhibits?

22 A Yes, I have.

23 Q As corrected by the errata sheet, is the information
24 in your testimony and exhibits true and correct?

25 A Yes, it is.

1 Q And if I were to ask you the same questions that are
2 in your prefiled testimony today, would the answers be the
3 same?

4 A Yes, they would.

5 MR. NIETO: Madam Chair, I ask that Mr. Taylor's
6 testimony be inserted into the record as read.

7 CHAIRMAN JABER: The prefiled testimony of Alan S.
8 Taylor shall be inserted into the record as though read.

9 MR. NIETO: And I would also ask that the next
10 exhibit number, which I believe is 24, be assigned to his AST-1
11 and AST-2.

12 CHAIRMAN JABER: Hearing Exhibit 24 is identified as
13 AST-1 and AST-2 with the errata sheet?

14 MR. NIETO: With the errata sheet, yes.

15 (Exhibit 24 marked for identification.)
16
17
18
19
20
21
22
23
24
25

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **FLORIDA POWER & LIGHT COMPANY**

3 **DIRECT TESTIMONY OF ALAN S. TAYLOR**

4 **DOCKET NOS. 020262-EI, 020263-EI**

5 **JULY 16, 2002**

6

7

8 **Q. Please state your name and business address.**

9 A. My name is Alan S. Taylor, and my business address is 5511 Northfork Court,
10 Boulder, Colorado, 80301.

11

12 **Q. By whom are you employed and what position do you hold?**

13 A. I am president of Sedway Consulting, Inc.

14

15 **Q. Please describe your duties and responsibilities in that position.**

16 A. I perform consulting engagements in which I assist utilities, regulators, and
17 customers with the challenges that they may face in today's dynamic
18 electricity marketplace. My area of specialization is in the economic and
19 financial analysis of power supply options.

20

21 **Q. Please describe your education and professional experience.**

22 A. I received a Bachelor of Science Degree in Energy Engineering from the
23 Massachusetts Institute of Technology and a Masters Degree in Business

1 Administration from the Haas School of Business at the University of
2 California, Berkeley, where I specialized in finance and graduated
3 valedictorian.

4
5 I have worked in the utility planning and operations area for 17 years,
6 predominantly as a consultant specializing in integrated resource planning,
7 competitive bidding analysis, utility industry restructuring, market price
8 forecasting, and asset valuation. I have testified before state commissions in
9 proceedings involving resource solicitations, environmental surcharges, and
10 fuel adjustment clauses.

11
12 I began my career at Baltimore Gas & Electric Company, where I performed
13 efficiency and environmental compliance testing on the utility system's power
14 plants. I subsequently worked for five years as a senior consultant at Energy
15 Management Associates (EMA, now New Energy Associates), training and
16 assisting over two dozen utilities in their use of EMA's operational and
17 strategic planning models, PROMOD III and PROSCREEN II. During my
18 graduate studies, I was employed by Pacific Gas & Electric Company
19 (PG&E), where I analyzed the utility's proposed demand-side management
20 (DSM) incentive ratemaking mechanism, and by Lawrence Berkeley
21 Laboratory (LBL) where I evaluated utility regulatory policies surrounding
22 the development of brownfield generation sites.

1 Subsequently, I worked at PHB Hagler Bailly (and its predecessor firms) for
2 ten years, serving as a vice president in the firm's Global Economic Business
3 Services practice and as a senior member of the Wholesale Energy Markets
4 practice of PA Consulting Group when that firm acquired PHB Hagler Bailly
5 in 2000. In 2001, I founded Sedway Consulting, Inc. and have continued to
6 specialize in economic analyses associated with electricity wholesale markets.
7

8 **Q. What is the purpose of your testimony?**

9 A. I was retained to assist Florida Power & Light (FPL) in conducting its
10 solicitation for competitive power supplies. The purpose of my testimony is
11 to describe my role as an independent evaluator and present my findings.
12 I reviewed FPL's solicitation process and performed a parallel and
13 independent economic evaluation of the proposals and self-build options that
14 were available to FPL. I will discuss the process and tools that I used to
15 conduct that parallel economic evaluation. Based on the results of my
16 independent evaluation, I concluded that the Martin/Manatee FPL portfolio
17 described in the Need Study is the least-cost portfolio that meets FPL's
18 resource needs.
19

20 **Q. Are you sponsoring an exhibit in this case?**

21 A. Yes. It consists of the following documents:

22 Document AST-1, Resume of Alan S. Taylor

23 Document AST-2, Sedway Consulting's Independent Evaluation Report.

1 **Q. Please describe the role you performed as an independent evaluator in**
2 **FPL's solicitation.**

3 A. I reviewed FPL's Supplemental Request for Proposals (Supplemental RFP)
4 and the utility's 2002 Ten-Year Site Plan. Prior to the receipt of proposals, I
5 requested that FPL run its detailed economic evaluation tool – the Electric
6 Generation Expansion and Analysis System (EGEAS) model, originally
7 developed by Electric Power Research Institute – and provide results that I
8 could use to calibrate Sedway Consulting's bid evaluation model. Once FPL
9 received the proposals and clarified ambiguous or confusing issues with the
10 bidders, I was sent the economic/pricing information from each proposal. The
11 information was provided to me by bid number, thereby masking the identities
12 of the bidders and the locations of their projects. FPL conferred with me on a
13 number of issues relating to proposal disqualification decisions, interpretation
14 of bid information, clarification requests, and economic evaluation
15 assumptions. As the evaluation progressed, FPL and I discussed appropriate
16 modeling assumptions in both evaluation tools (which I discuss later in my
17 testimony). Using Sedway Consulting's Response Surface Model (RSM), I
18 developed rankings of all of the proposals. Also, with the RSM results, I
19 developed portfolios of low-cost resources and assessed the overall costs of
20 such portfolios. I reviewed FPL's EGEAS runs to confirm consistency of
21 assumptions and reasonableness of results, and I documented the entire
22 process in an independent evaluation report (Document AST-2).

1 **Q. Turning first to the process of the solicitation, do you believe that the**
2 **Supplemental RFP was an adequate document for soliciting proposals?**

3 A. Yes. As one who has developed dozens of such utility resource RFPs, I
4 believe that FPL's Supplemental RFP struck a good balance between being
5 sufficiently detailed without being overly burdensome on the respondent. I
6 think that the number and quality of the proposals that FPL received is a
7 testament to the Supplemental RFP's adequacy.

8

9 **Q. Do you believe that FPL's evaluation process was conducted fairly?**

10 A. Yes. I believe that the outside proposals and FPL self-build options were
11 evaluated on an equal footing, with consistent assumptions and analytic
12 approaches applied to all relevant resource options at each stage of the
13 evaluation.

14

15 **Q. Please describe Sedway Consulting's RSM model and its use in FPL's**
16 **solicitation.**

17 A. The RSM is a spreadsheet model that I have used in solicitations around the
18 country. It is a relatively straightforward tool that allows one to
19 independently assess the cost impacts of different generating or purchase
20 resources for a utility's supply portfolio. Most of the evaluation analytics in
21 the RSM involve calculations that are based entirely on my input of proposal
22 costs and characteristics. A small part of the model examines system
23 production cost impacts and needs to be calibrated to simulate a specific

1 utility's system. In the case of the FPL solicitation, prior to the opening of the
2 bids, I requested that FPL execute a specific set of runs with its detailed
3 evaluation model, EGEAS. With the results of these runs, I was able to
4 calibrate the RSM to approximate the production cost results that EGEAS
5 would produce in a subsequent evaluation of any proposals or self-build
6 options that FPL might receive. Thus, I would not have to rely on FPL's
7 modeling of a proposal; instead, I would be able to insert my own inputs into
8 my own model and independently evaluate the economic impact of any
9 particular bid. In short, the RSM provides an independent assessment to help
10 ensure against the inadvertent introduction of significant mistakes that could
11 cause the evaluation team to reach the wrong conclusions.

12
13 **Q. How is the RSM an independent analytical tool if it is based on initial**
14 **EGEAS results?**

15 A. As I noted above, most of the calculations performed by the RSM are not
16 based on EGEAS results in any way. There are two main categories of costs
17 that are evaluated in a resource solicitation: fixed costs and variable costs.
18 The costs in the first category – the fixed costs of a proposal – are calculated
19 entirely separately in the RSM, with no reliance on the EGEAS model for
20 these calculations. The second category – variable costs – has two parts:
21 (1) the calculation of a resource's variable dispatch rates and, (2) the impact
22 that a resource with such variable rates is likely to have on FPL's total system
23 production costs. As with the fixed costs, a proposal's variable dispatch rates

1 are calculated entirely separately in the RSM, with no basis or reliance on the
2 EGEAS model. It is only in the final subcategory – the impact that a resource
3 is likely to have on system production costs – that the RSM has any reliance
4 on calibrated results from EGEAS.

5
6 **Q. Please elaborate on that area of calculations where the RSM is affected by**
7 **the EGEAS calibration runs.**

8 A. This is the area of system production costs. These costs represent the total
9 fuel, variable operation and maintenance (O&M), and purchased power costs
10 that FPL incurs in serving its customers' loads. Given FPL's load forecast,
11 the existing FPL supply portfolio (i.e., all current generating facilities and
12 purchase power contracts), and many specific assumptions about future
13 resources and fuel costs, EGEAS simulates the dispatch of FPL's system and
14 forecasts total production costs for each year of the study period. At the
15 outset of the solicitation project, the RSM was populated with annual system
16 production cost results that were created by the EGEAS calibration runs.

17
18 **Q. What did the RSM do with this production cost information?**

19 A. Once incorporated into the RSM, the production cost information allowed the
20 RSM to answer the question: How much money (in annual total production
21 costs) is FPL likely to save if it acquires a proposed resource, relative to a
22 reference resource? The use of a reference resource simply allowed a
23 consistent point of comparison for evaluating all bids and self-build options. I

1 used a reference resource with a high variable dispatch rate of \$100/MWh. In
 2 fact, I could have picked any variable dispatch rate for the reference resource
 3 and obtained the same relative ranking of bids out of the RSM. The cost of
 4 the reference resource has no impact on the relative results – it is merely a
 5 consistent reference point.

6

7 **Q. Can you provide a numerical example that shows how the RSM works?**

8 A. Certainly. Assume that a utility has a one-year resource need of 1,750 MW
 9 and must select one of the two following proposals:

10

	Bid A	Bid B
11		
12	Capacity:	1,750 MW
13	Capacity Price:	\$9.00/kW-month
14	Energy Price:	\$20/MWh
15		

15

16 For both proposals, the RSM has already calculated the fixed costs (and
 17 represented them in the capacity price) and the variable costs (and represented
 18 them in the energy price). Bid A is more expensive in terms of fixed costs,
 19 but Bid B is more expensive on an energy cost basis. The RSM calculates the
 20 final piece of the economic analysis – the different impacts on system
 21 production costs – to determine which bid is less expensive in a total sense for
 22 the utility system as a whole.

1 Assume that the RSM has been calibrated and populated with the following
2 production cost information:

3

4 For a 1,750 MW proxy resource, the utility's one-year total system production
5 costs are:

6

- 7 • \$2.500 billion for a \$100/MWh energy price reference resource
- 8 • \$2.479 billion for a \$50/MWh energy price resource (Bid B)
- 9 • \$2.416 billion for a \$20/MWh energy price resource (Bid A)

10

11 Thus, the energy savings (relative to the selection of a \$100/MWh reference
12 resource) are \$84 million for Bid A with its \$20/MWh energy price and
13 \$21 million for Bid B with its \$50/MWh energy price. In its bid ranking
14 process, the RSM converts all production cost savings into a \$/kW-month
15 equivalent value so that the savings can be deducted from the capacity price to
16 yield a final net cost (in \$/kW-month) for each bid. Converting the energy
17 savings in this numerical example into \$/kW-month equivalent values yields
18 the following:

19

20
$$\$84 \text{ million} / (1,750 \text{ MW} * 12 \text{ months}) = \$4.00/\text{kW-month}$$

21
$$\$21 \text{ million} / (1,750 \text{ MW} * 12 \text{ months}) = \$1.00/\text{kW-month}$$

22

1 The RSM calculates the net cost of both bids by subtracting the energy cost
2 savings from the fixed costs:

	Bid A	Bid B
3		
4 Capacity Price:	\$9.00/kW-month	\$5.50/kW-month
5 Energy Cost Savings:	\$4.00/kW-month	\$1.00/kW-month
6 Net Cost:	\$5.00/kW-month	\$4.50/kW-month

7

8 Bid B is less expensive. This can be confirmed through a total cost analysis as
9 well:

10

11 Bid A will require total capacity payments of \$189 million (= 1,750 MW x
12 \$9.00/kW-month x 12 months), and Bid B will require \$115.5 million
13 (= 1,750 MW x \$5.50/kW-month x 12 months). Thus, Bid A has fixed costs
14 that are \$73.5 million more than Bid B.

15

16 Bid A will provide \$63 million more in energy cost savings (= \$84 million -
17 \$21 million); however, this is not enough to warrant paying \$73.5 million
18 more in fixed costs. Therefore, Bid B is the less expensive alternative.

19

20 Note that the RSM is described in more detail in the independent evaluation
21 report that is attached to my testimony, Document AST-2.

1 Q. **With that understanding of the RSM process, what did you do to**
2 **calibrate the RSM to EGEAS?**

3 A. I reviewed the production cost information that FPL provided at the start of
4 the project and confirmed that the production costs were, for the most part,
5 exhibiting smooth, correct trends (i.e., they were increasing where they should
6 be increasing and declining where they should be declining). Having verified
7 that the RSM production cost values were “smooth,” I was confident that
8 inputting variable cost parameters into the model for similar proposals would
9 yield similar production cost results. Although the RSM is not a detailed
10 model and could not simulate FPL’s production costs with EGEAS’ accuracy,
11 in the end, the independent RSM evaluation results tracked the EGEAS results
12 quite well.

13
14 Q. **Once the RSM was calibrated, what was the next step?**

15 A. I reviewed pricing information from all of the proposals that FPL received.
16 Specifically, I received the following information for input into the RSM:
17 contract capacity, capacity pricing, commencement and expiration dates, heat
18 rates, fuel costs, firm gas transportation pipeline service (if applicable),
19 variable operations and maintenance (O&M) and/or energy charges, and start-
20 up costs.

21
22 Q. **How was the firm gas transportation pipeline service determined?**

23 A. All proposals involving natural-gas-fired projects were assumed to require

1 firm gas transportation from either the Florida Gas Transmission (FGT)
2 pipeline, the new Gulfstream pipeline, or a bidder-specified supply. Bidders
3 indicated in their proposals which pipeline they expected to tap for firm gas
4 supplies.

5
6 **Q. What other significant proposal assumptions or modeling issues did you**
7 **discuss with the FPL evaluation team during the course of the**
8 **evaluation?**

9 A. There were a number of minor points, but the major ones were addressed in
10 discussions pertaining to the following five areas:

- 11 1. Future resource costs that would be incurred at the end of
12 short-term transactions
- 13 2. Firm gas transportation issues
- 14 3. Equity penalty
- 15 4. Residual value of resource lives beyond 2030
- 16 5. Transmission integration costs

17
18 **Q. What do you mean by “future resource costs”?**

19 A. There are several issues here that concern the evaluation of proposals of
20 varying size or duration. Focusing first on the issue of varying duration, FPL
21 received proposals for contract terms of anywhere from 3 to 25 years. In
22 order for one to compare the value of a short-term option with that of a long-
23 term option, one must make some assumptions about the future costs of new

1 resources. In other words, to compare a 3-year contract with a 25-year
2 contract of the same capacity, one needs to assess the likely costs of acquiring
3 or developing new capacity in years 4 through 25. The costs of acquiring or
4 developing that new capacity are what I refer to as "future resource costs". If
5 one believes that very low-cost options may be available in 4 years, the
6 economic advantage may tilt toward the 3-year contract. Alternatively, if one
7 believes that future resource costs may be high for years 4 through 25, the 25-
8 year contract may appear more attractive. Of course, the fundamental
9 comparison is directly dependent on the proposed prices inherent in both
10 transactions. But to put both proposals on common footing, one needs to "fill
11 in" behind the 3-year contract with some estimate of future resource costs or
12 market prices that will be available to the buyer in those interim years. Thus,
13 in both EGEAS and the RSM, future resource costs were characterized by a
14 "filler" unit.

15
16 **Q. What assumptions were used in the RSM for the filler unit?**

17 A. The RSM used FPL's generic estimates of a greenfield combined-cycle
18 facility similar to the 1,107 MW Manatee project that was selected in this
19 evaluation. The filler had the same heat rates, variable O&M costs, annual
20 incremental capital requirements and start-up costs. Its construction and fixed
21 O&M costs were higher to account for the greenfield nature of the facility.
22 Also, its firm gas transportation costs were based on the FGT tariff because of
23 the fact that FGT can be accessed by new resources throughout the state. The

1 Gulfstream pipeline, on the other hand, supplies a limited geographical area.
2 Given that the location of future filler resources could not be known, FGT
3 supply was assumed. In total, the filler assumptions resulted in a combined-
4 cycle facility that was rather low-cost – lower than most of the combined-
5 cycle bids that FPL received. Of the 13 combined-cycle facilities that were
6 offered by outside bidders, the filler resource was less expensive than nine of
7 them. Thus, short-term proposals were afforded a favorable assumption with
8 regard to the replacement capacity that FPL would acquire or develop upon
9 the expiration of the proposed contract.

10
11 Also, it is important to note that a sensitivity analysis was performed by
12 Sedway Consulting and is described in the independent evaluation report in
13 Document AST-2. This analysis examined the effect of even lower filler costs
14 (through a reduction in construction and other fixed costs and the accessing of
15 Gulfstream firm gas supply) on the costs of the top-ranked portfolios. The
16 All-FPL portfolio was still the least-cost portfolio by \$125 million.

17
18 **Q. In the RSM, was every short-term proposal replaced with a 1,107 MW**
19 **combined-cycle filler resource?**

20 **A.** No. The RSM sized the replacement capacity for each short-term proposal to
21 equal the size of the expiring contact. All costs were scaled accordingly.
22 Thus, small proposals were replaced with a small filler resource that had all of
23 the economy-of-scale benefits of a large 1,107 MW generating plant.

1 **Q. Is this MW-for-MW replacement assumption in the RSM reflective of**
2 **what would actually happen on FPL's system?**

3 A. No. FPL likely would be unable to exactly match additions MW for MW in
4 the year needed, and smaller additions used to more closely match a specific
5 year's need probably would be more expensive and/or less efficient than the
6 scaled-down version of a large 1,107 MW facility. Therefore, the process
7 followed by the RSM may slightly understate the total study period costs for
8 short-term proposals.

9
10 **Q. Did EGEAS follow the same process as was employed in the RSM?**

11 A. Technically, no, although the final result is similar. EGEAS looks at the FPL
12 system more comprehensively. EGEAS maintains FPL's 20% reserve margin
13 by selecting proposals (during the 2005 and 2006 time frame) and full-scale
14 filler resources (in the later years) to supplement FPL's existing fleet of
15 resources. The EGEAS process is described more fully in Dr. Steven Sim's
16 testimony. It is important to note, however, that both the RSM and EGEAS
17 used the same assumptions for the costs and operating characteristics of the
18 1,107 MW filler resource.

19
20 **Q. The second item on your list of discussion issues involved firm gas**
21 **transportation. What was discussed and decided there?**

22 A. I have already mentioned the designation of some resources as having lower
23 firm gas transportation costs because of their access to the Gulfstream

1 pipeline. In addition, after seeking guidance from FPL's Energy Marketing
2 and Trading Group, the evaluation team decided to assume that there would
3 be no firm gas transportation charges for duct-fired capacity associated with a
4 combined-cycle proposal.

5

6 **Q. Item #3 on your list was the equity penalty. What is that and how was it**
7 **applied to the evaluation process?**

8 A. An equity penalty is a cost associated with contracting for power from an
9 outside party. Rating agencies view some portion of a utility's capacity
10 payment obligations to a power provider as the equivalent of debt on the
11 utility's balance sheet. If a utility does not rebalance its capital structure with
12 additional equity, this debt equivalent can negatively impact a utility's
13 financial ratios, influencing rating agencies to downgrade their opinion of the
14 utility's creditworthiness and increasing the utility's cost of borrowing.
15 Consequently, an adjustment acknowledging this incremental cost of capital
16 must be made to all capacity purchase options in order to put them on an equal
17 footing with internal build or turnkey options. Thus, an equity penalty was
18 calculated for each top-ranked proposal to represent the additional cost to FPL
19 and its customers of rebalancing its capital structure were it to contract for the
20 power associated with each proposal. This value was summed for all outside
21 proposals in each portfolio, and added to the portfolio's total cost.

22

1 **Q. Have you seen this equity penalty concept incorporated in other**
2 **solicitations?**

3 A. Yes, both inside and outside of Florida. Also, I believe that recent events in
4 the electricity markets have only underscored the importance of energy
5 companies maintaining strong balance sheets. Rating agencies have become
6 quite severe in their evaluation of energy companies' financial ratios. Thus, it
7 was appropriate for the bid evaluation team to incorporate into its analyses the
8 estimated financial impact and imputed debt associated with the signing of
9 purchase power agreements.

10

11 **Q. Please describe the issue of residual value.**

12 A. The residual value concept is associated with any resource that continues to
13 have costs or value beyond the end of the study period (i.e., beyond 2030).
14 None of the outside power purchase proposals extended beyond the end of the
15 study. However, the FPL self-build options are likely to continue to operate
16 beyond the 25-year time frame that formed the basis of the revenue
17 requirements calculation for these resources. Thus, the costs of the self-build
18 options were premised on FPL's customers paying for the capital costs over
19 25 years; but the customers will continue to enjoy the benefits of the power
20 for operating lives that are likely to be 35 years or more. Given that, I
21 calculated the present value of the net benefits of an additional 10 years of
22 capacity from the FPL self-build options. I used a conservative estimate of
23 the value of the capacity (i.e., an estimate of the market price that may be

1 associated with capacity in that time frame) and assumed that FPL customers
2 would continue to pay fixed O&M costs and incremental capital costs (with
3 the latter at reduced levels) to keep the facilities running. The net benefit of
4 the capacity was calculated as the facilities' capacity value minus the costs.

5
6 **Q. Did FPL's analysis include a residual value calculation?**

7 A. No. Therefore, I believe that the FPL analysis understated the value of the
8 FPL options by \$34 million to \$76 million. This is one of the primary reasons
9 that the cost differences (between the All-FPL portfolio and the competing
10 portfolios) depicted in Sedway Consulting's results are generally greater than
11 those depicted in FPL's results.

12
13 **Q. How were transmission integration costs factored into the evaluation?**

14 A. In the final consideration of portfolios, various portfolios were analyzed to
15 determine what transmission integration investments might be necessary to
16 accommodate the development and receipt of power injections from specific
17 points of delivery. This determination requires significant effort and
18 transmission system modeling. Thus, the FPL evaluation team opted to send
19 only 28 portfolios for analysis. The results showed that transmission
20 integration costs may add from \$5 million to \$132 million (present value of
21 revenue requirements) to the cost of a portfolio, depending on the specific
22 geographic configuration of the resources in each portfolio.

1 **Q. What were the final results of the evaluation?**

2 A. The top portfolio included two FPL projects – the conversion of two CTs (and
3 the addition of two more) at FPL’s Martin generating facility to a 4-on-1
4 combined-cycle facility and a similar complete 4-on-1 combined-cycle facility
5 at FPL’s Manatee generating station. Both projects will be essentially the
6 same type of facility, providing 1,107 MW each of summer capacity. Because
7 the Martin expansion project will be converting two existing CTs that
8 currently provide 318 MW of capacity, the net additional capacity from that
9 project will be 789 MW. Thus, this portfolio of FPL self-build options will
10 provide a total of 1,896 MW of summer capacity, meeting the FPL’s
11 minimum requirement of 1,722 MW. This portfolio was found to be at least
12 \$135 million less expensive than the next best portfolio without both FPL
13 units. A complete list of the top-ranked portfolios is provided in the
14 independent evaluation report (Document AST-2).

15
16 **Q. What do you conclude about FPL’s solicitation?**

17 A. I conclude that the All-FPL portfolio is the least-cost portfolio and concur
18 with FPL’s decision to move forward with Martin Unit 8 and Manatee Unit 3.
19 The solicitation process yielded the best results for FPL’s customers while
20 treating developers fairly. The FPL Supplemental RFP was sufficiently
21 detailed to provide necessary information to bidders. The economic
22 evaluation methodology and assumptions were appropriate and unbiased, and
23 the independent evaluation procedures provided a cross-check of FPL’s bid

1 representation in EGEAS and confirmed FPL's EGEAS results. Finally, I
2 conclude that the All-FPL portfolio of the Martin and Manatee projects is the
3 most cost-effective portfolio by at least \$135 million.

4

5 **Q. Does this conclude your testimony?**

6 **A. Yes.**

1 BY MR. NIETO:

2 Q Could you please summarize your testimony?

3 A Certainly. Madam Chairman, Commissioners, I am the
4 independent evaluator in this case, a role that I have played
5 in many solicitations around the country. I would like to
6 discuss a little bit about my background and experience in
7 these types of endeavors and then move to discuss the details
8 of my role in this particular solicitation, the tools that I
9 used to perform the evaluation and the conclusions that I
10 reached.

11 I have been working in the utility area since 1980.
12 During the '80s I worked on behalf of a software vendor and
13 worked specifically with utility planning models. I assisted
14 and trained over two dozen utilities or their personnel in
15 their generation planning departments on the use of these kinds
16 of tools. In the last ten years I have focused more on
17 strategic and management type consulting, but specializing in
18 the area of competitive bidding solicitations. I have looked
19 at literally hundreds of bids involving everything from
20 gas-fired facilities to coal-fired facilities, wind farms, tire
21 burning facilities, quite a wide variety of things. And I have
22 been involved in solicitations that have looked at self-build
23 resources, also unregulated affiliates that might be bidding in
24 contracts for power supplies, or solicitations that involve
25 entirely outside proposals.

1 I have been involved in all four phases of the
2 solicitation process. There is the development of the RFP
3 document itself to solicit the proposals, the next phase is the
4 evaluation phase looking at the responses to the proposals, and
5 I have performed the economic evaluation, and another phase is
6 the risk assessment, and yet another stage for those proposals
7 that advance to a short list there is the negotiation process.
8 I have worked on behalf of investor-owned utilities, utility
9 cooperatives, public utility commissions, as well as IPPs. In
10 all cases my emphasis has always been on trying to find the
11 best resource or portfolio of resources for the customers.

12 Turning to my role here in the FPL solicitation, I
13 was retained to perform a parallel economic evaluation. I
14 determined from my economic evaluation that the All-FPL plan
15 including Manatee 3 and Martin 8 is the least cost plan. I
16 used my own model, the response surface model, the RSM.

17 It is a spreadsheet model and is fairly simple and
18 straightforward, and I think provides two major benefits to a
19 solicitation process. One, it allows for cross checking of the
20 results out of the more detailed models. These models that are
21 used in these types of evaluations often involve quite a few
22 inputs and enough complexity that it is helpful to have a
23 second check for the results.

24 A second benefit I think to having something like
25 this response surface model is it is a spreadsheet program that

1 allows a degree of transparency in the process. Whether it is
2 Commission staff or intervenors who have signed the necessary
3 nondisclosure agreements, this is a spreadsheet that people can
4 look at and see how the costs were calculated, how the fixed
5 costs and variable costs of the various proposals and
6 self-build options were examined and developed, and can
7 understand the analysis and become assured that the evaluation
8 was performed rigorously and appropriately.

9 In the solicitation I was given free reign to conduct
10 the evaluation, my independent evaluation as I saw fit, and I
11 was also given free reign to challenge FPL's analysis and offer
12 suggestions or areas where they might improve. In conclusion,
13 I determined in my review of the overall solicitation that
14 their RFP document was sufficient and it certainly garnered
15 quite a few proposals in the process. I think that their
16 overall evaluation process was fair and unbiased. It treated
17 all of the proposals and self-build options under a consistent
18 set of assumptions and using consistent analytical approaches.
19 I think that the results were sound and they were corroborated
20 by my independent evaluation, and my results have indicated
21 that the best portfolio of outside resources would be about
22 \$423 million more expensive than the all-FPL plan including
23 Martin 8 and Manatee 3. With the next best combination
24 portfolio, that which would include either Martin 8 or Manatee
25 3 and combinations of outside proposals, I found that the next

1 best plan was approximately \$135 million more expensive. So I
2 concur with FPL's decision to move ahead with the Martin 8 and
3 Manatee 3 plan. That concludes my summary.

4 MR. NIETO: Thank you, Mr. Taylor. We tender Mr.
5 Taylor for cross.

6 CHAIRMAN JABER: Mr. Moyle.

7 CROSS EXAMINATION

8 BY MR. MOYLE:

9 Q Mr. Taylor, I was just going to follow up on a few
10 things you said in your opening statement. You said you
11 reviewed the RFP document, correct?

12 A Yes.

13 Q Was that both the original and the supplemental RFP?

14 A That is correct.

15 Q Did you believe that the supplemental RFP after some
16 of the changes that were made made the document more fair to
17 bidders than the original RFP?

18 A Yes, I think it was a better RFP from the standpoint
19 that there were various issues that were relaxed from the
20 original RFP.

21 Q Were you asked for your suggestions as to ways to
22 improve their RFP document?

23 A No, I actually reviewed the RFPs after they had been
24 issued.

25 Q So your expert opinion was not sought prior to the

1 issuance of the RFP, either the supplemental or the initial,
2 correct?

3 A That is correct.

4 Q Now, I thought I heard you say that you thought the
5 RFP was fair and unbiased, and let me just ask you one thing.
6 You have been in the room for the last couple of days, I think.
7 I have seen your face back there.

8 A In and out of the room.

9 Q There has been a lot of discussion about the equity
10 penalty, and I think counsel for FPL directed the attention of
11 one of their witnesses to the line in the supplemental RFP that
12 deals with the equity penalty. And I will just quote on Page
13 18. Actually because it starts with therefore, I should
14 probably quote both sentences. It says, "The economic
15 evaluation will seek to identify the firm capacity and energy
16 proposals which result in the lowest electric rates for the FPL
17 system. Therefore, the evaluation will examine each proposal's
18 impact on the entire FPL system, including the estimated impact
19 of FPL's cost of capital associated with entering into a
20 purchased power agreement." Do you believe that that sentence
21 puts bidders on notice as to how the equity penalty is going to
22 be applied to them?

23 A I believe that it put bidders on notice that there
24 would be consideration of the impacts of purchased power
25 agreements on FPL's cost of capital.

1 Q But I guess my question was how it would be applied.
2 You wouldn't read that sentence to indicate it describes how
3 the equity penalty will be imposed or applied to bids, do you?

4 A It is not a full methodology obviously embodied in
5 one sentence. I think given that the supplemental RFP was
6 soliciting proposals broadly but quite a few from those bidders
7 who had already been involved in the initial RFP, I would
8 presume that there had been some foreknowledge on the part of
9 those dozen and a half bidders that had bid the first time
10 around, that there was an equity penalty issue that had been
11 described in the need docket there.

12 CHAIRMAN JABER: So the answer is no?

13 THE WITNESS: No.

14 BY MR. MOYLE:

15 Q Are you aware that my client, CPV Gulfcoast, did not
16 bid in the first RFP?

17 A No, because I did not know the identities of the
18 bidders in either solicitation.

19 Q The RSM model, that is your model, correct?

20 A Yes, it is.

21 Q And if I heard your summary, you use it for cross
22 checking other models, and you also have a spreadsheet program
23 that you believe is transparent and whatnot. If I today
24 represented a utility and I came to you and I said, Mr. Taylor,
25 we are getting ready to have an RFP, and I want you to do the

1 evaluation with your RSM model and tell us what the best deal
2 is, could you do that?

3 A I would not recommend using the RSM itself as the
4 only model. It is really a secondary model that is best used
5 for cross checking. It is meant to supplement the more
6 detailed models that are generally used in generation planning
7 or resource acquisition departments. So I would recommend
8 against using the model itself as the sole basis for examining
9 the economics of power supply proposals.

10 Q So that would be a no, correct?

11 A Correct.

12 Q I guess given the answer to that question that you
13 couldn't use that -- or you wouldn't recommend using it
14 exclusively and independently to evaluate bids, then it really
15 doesn't follow logically, does it, that the RSM model can be
16 used as an independent evaluation of the bids, does it?

17 A No, I do not agree with your conclusion. The RSM is
18 calibrated at the outset of the process with results from a
19 more detailed model. So it is independent in the sense that
20 the production cost characteristics in the model are anchored
21 before any bids are opened, so it assures a process where any
22 sort of problems or mistakes that might get introduced during
23 the solicitation process are not replicated in a model that has
24 already been anchored and calibrated and synchronized at the
25 beginning of the process.

1 Q Okay. And I guess given that response, then
2 primarily your model was used for cross checking, was it not,
3 in this case?

4 A Cross checking and transparency of process. As I
5 say, this was a model -- it was offered in discovery in this
6 proceeding so intervenors who signed the necessary
7 nondisclosure agreements were free to review the results and
8 see entirely how the economics of the evaluation were
9 performed.

10 Q Let's talk for a minute about this 20 percent number
11 and the 15 megawatts, you have heard some discussion about
12 that, have you not?

13 A Yes, I have.

14 Q In your expert opinion, did you have concerns that
15 FPL was moving forward and putting these two plants together to
16 get the 1,722 number as compared to just going ahead and
17 seeking bids for the Manatee unit?

18 A No, with an important caveat. I saw my role in this
19 solicitation, in both solicitations, the initial and the
20 supplemental, to play the role of to some extent a devil's
21 advocate where wherever I found there was an issue that I
22 thought anybody from the outside looking in, and certainly from
23 my standpoint as an independent looking in might want to
24 challenge, I asked the question.

25 There was back in the initial solicitation a point

1 where the FPL self-build facilities had a revision in their
2 overall capacity. I had actually been emphasizing to the FPL
3 evaluation team that they should make sure that their
4 characteristics for the self-build facilities were based on
5 average operating conditions that their production and
6 generation division could support. And when they went back to
7 PGD, the production generation division, and emphasized that
8 there was actually a revision to the heat rates and a reduction
9 in the capacity of the resources. They became in a sense a
10 little bit less valuable than they had been at the outset of
11 the process.

12 When that capacity was reduced, we ended up with
13 these combined cycles that were 1,107 megawatts each. And that
14 1,107 fell short of the 1,122 requirement in the initial
15 solicitation thereby requiring the Martin resource to what had
16 originally been seen as a 2006 start date moved back to 2005.
17 I turned to them and I said we have got a 15 megawatt
18 difference here, is that really something that you are going to
19 hold to. And they said, yes, in the fairness issue as far as
20 the solicitation, and I concur with this, if you have published
21 in your RFP that you are going to seek an exact number of
22 megawatts, to change the rules just to make the configuration
23 better fit the self-build options I think would have left the
24 process open to tremendous challenge. So I was playing devil's
25 advocate to just ask the question and see what their response

1 would be, and they held to it and said we want the least cost
2 plan based on the capacity requirements that have been
3 specified in the RFP, 1,122 megawatts in 2005 and an additional
4 600 megawatts in 2006.

5 CHAIRMAN JABER: Mr. Taylor, were your instructions
6 to evaluate and look for the least cost plan or it was to look
7 for the most cost-effective alternative?

8 THE WITNESS: It was to look for the least cost plan,
9 and I tend to use those terms as far as least cost and most
10 cost-effective synonymously. I know in Mr. Silva's cross
11 examination yesterday he drew a distinction as far as the risk
12 factors that also need to be considered, and I absolutely
13 support that concept that the best resources for the customers
14 are not necessarily the absolute lowest cost. But I use the
15 terms least cost and cost-effectively somewhat the same.

16 BY MR. MOYLE:

17 Q This conversation that you recall having with respect
18 to the 15 megawatts, when did you have that conversation?

19 A That probably would have been somewhere back in the
20 November 2001 time frame, perhaps early December.

21 Q Okay. So that was way before the supplemental RFP
22 was issued, correct?

23 A That is correct.

24 Q So to the extent that the concerns you raised about
25 the fairness and whatnot, that the bidders wouldn't be on

1 notice, surely that could have been addressed and corrected in
2 the supplemental RFP, correct?

3 A I'm not sure what you mean by addressed and
4 corrected.

5 Q Well, I thought I understood you to say that you
6 thought it made sense because there was only a 15 megawatt
7 shortfall to make an adjustment and you were told, no, we said
8 20 was what we are going to do, we put that number in the RFP,
9 it would be not fair to the bidders. And I guess I asked you
10 when you had that conversation and you said November, but the
11 supplemental RFP wasn't issued until April. So you would agree
12 that to the extent the fairness to the bidders was of concern,
13 that could have been addressed in the supplemental RFP; the
14 change could have been noted?

15 A I'm not sure what change you are referring to.

16 Q If they changed and said we are going to go at 19.92
17 rather than 20 percent and only do the Manatee unit in 2005,
18 that could have been noted in the supplemental RFP, could it
19 not?

20 A Yes, that could have been noted, although I think
21 that that would have insinuated that this process was being
22 engineered to exactly fit the self-build resources, and I don't
23 know that I would have stood behind that decision.

24 Q Now, in response to a question I asked you, I think
25 you talked about conversations you had with PGD. And if I

1 heard you correctly you said that you encouraged them to be
2 more realistic in some of their numbers and their assumptions
3 and they were and the capacity was reduced. Do you recall that
4 answer to the question I asked you?

5 A No. First of all, I never spoke with PGD. I did not
6 speak with any of the bidders. These were simply issues that I
7 raised to the FPL bid evaluation team themselves. They were
8 the ones who communicated specifically with bidders or with
9 PGD. And I simply wanted to make sure that as bidders were
10 being required to stand behind their capacity values and heat
11 rate values that these heat rate and capacity values that had
12 provided for the FPL self-build resources were of a comparable
13 and consistent nature.

14 I thought it was essential to have an
15 apples-to-apples kind of comparison here. So what was
16 represented to me is after the FPL bid evaluation team
17 communicated with PGD, they learned that the initial values,
18 and we are talking about values back in October of 2001,
19 represented basically brand new operating conditions and that
20 those weren't the appropriate numbers to use for examining the
21 resources over time. So that is when the revision occurred.

22 Q Okay. Just so the record is clear, PGD is the
23 internal FPL self-build -- or the group that put together the
24 numbers for the internal FPL self-build, correct?

25 A That is correct, yes.

1 Q So is it your testimony that you raised a concern
2 about the numbers that PGD was using in terms of the ability to
3 meet what was set forth in the numbers?

4 A No, I did not raise the concern. I simply said be
5 sure that this is an apples-to-apples comparison and that PGD
6 is prepared to stand behind these numbers as representing
7 average operating conditions rather than something that was
8 brand new. So in looking at the numbers themselves, I didn't
9 have any concerns. The heat rates were fine. There were
10 proposals that had lower heat rates, but I just wanted to make
11 sure that this was an apples-to-apples comparison.

12 Q You talked about the FPL evaluation team, who was on
13 the FPL evaluation team?

14 A The primary person in charge of the team was Doctor
15 Sim.

16 Q Do you know anybody else that was on it?

17 A There was also Ms. Daisy Iglesias.

18 Q Anybody else?

19 A Steve and Daisy, Doctor Sim and Ms. Iglesias were the
20 two primary individuals. There were additional staff who also
21 helped out with the process. I believe Ms. Sharon Fisher and
22 Mr. Richard Brown.

23 Q Were you on that team?

24 A No.

25 Q How often were you in contact with members of the

1 team?

2 A It varied over the course of the solicitation.
3 During the period immediately following the receipt of the
4 proposals and the evaluation of those proposals, I would say I
5 was in touch with the team on a daily basis usually by either
6 e-mail and/or by phone.

7 Q All right. Now, with respect to the bids, wouldn't
8 you agree that the bids represent the best information as to
9 what it is that folks are proposing to do in response to FPL's
10 supplemental RFP?

11 A The best information? Yes, I suppose.

12 Q And isn't it true that you never ever reviewed the
13 bids that were submitted to the supplemental RFP?

14 A During the evaluation process that is true.

15 Q Let me ask you about your scope of work, and I have a
16 document that represents an agreement that you have. I don't
17 want to introduce it into the record because it has
18 compensation figures and out of respect I don't want to do
19 that, but I do want to publish a portion of this document that
20 relates to the scope of work, so that is how I'm going to
21 handle that if I could approach.

22 CHAIRMAN JABER: Mr. Moyle, just be real clear what
23 it is you do not want the witness to refer to.

24 MR. MOYLE: It is a rather lengthy document, but I'm
25 just going to have him read into the record what his scope of

1 work was. Basically what his duties and responsibilities were.

2 BY MR. MOYLE:

3 Q First of all, who is this agreement with?

4 A This is with the firm of Steel, Hector and Davis.

5 Q Okay. And on the second page there is some bold
6 language there right above the signatures of Mr. Guyton and
7 below your signature. Would you please read that for the
8 record?

9 A Authorization for Sedway Consulting, Incorporated to
10 assist Steel, Hector and Davis, LLP, in the evaluation of
11 responses to Florida Power and Light Company's August 13th,
12 2001 power supply RFP.

13 Q And you did assist Steel, Hector in this evaluation,
14 correct?

15 A That is correct.

16 Q Please read for the record, and it will take just a
17 minute, but Attachment A is your scope of work. Could you
18 please read that into the record?

19 A Sedway Consulting proposes to provide advice and
20 feedback regarding FPL's RFP, develop a response surface model,
21 RSM, to facilitate the economic evaluation of responses to
22 FPL's RFP, review the economic portions of all proposals for
23 conventional power supplies, develop questions for bidders to
24 clarify their proposals, if necessary. These questions will be
25 forwarded to Steel, Hector and Davis, LLP and FPL. Unless

1 otherwise instructed, Sedway Consulting will have no direct
2 communications with any bidders. Communicate with FPL to
3 understand electric transmission and/or fuel supply
4 interconnection costs or limitations associated with each
5 proposal. Develop a ranking of proposals or sets of proposals
6 that identifies the best proposals from an economic
7 perspective. And the last task, document this ranking in an
8 executive briefing memorandum that describes Sedway
9 Consulting's process and rationale behind the proposal ranking.

10 Q Okay. The word independent or independence doesn't
11 appear anywhere in this scope of work, does it?

12 A No.

13 MR. MOYLE: Thank you. I have no further questions.

14 CHAIRMAN JABER: Mr. McGlothlin.

15 CROSS EXAMINATION

16 BY MR. MCGLOTHLIN:

17 Q Mr. Taylor, you said in response to a question from
18 Mr. Moyle that you didn't know who the bidders were, is that
19 correct?

20 A During the evaluation process that is correct. I
21 actually did review the proposals this week and confirmed that
22 all the information in the proposals is exactly what was
23 represented in my RSM analysis.

24 Q When you were reviewing the information, were you
25 able to tell which information was from bidders and which was

1 from FPL?

2 A During the evaluation process?

3 Q Yes.

4 A Yes, the FPL information had actually been included
5 in the supplemental RFP itself.

6 Q At Page 4, Line 12, you said that FPL conferred with
7 me regarding several things that includes proposal of
8 disqualification decisions, and with respect to that subject,
9 did they ask your opinion on that or did they simply inform you
10 who was disqualified?

11 A In the initial RFP there were discussions about
12 appropriate bases for proposal disqualification. In the
13 supplemental solicitation, since I did not know the identity of
14 the bidders in either solicitation, but certainly in the
15 supplemental there were issues that they were proceeding with
16 on disqualification grounds that I agreed with, but I was not
17 involved with the decision and I was basically notified of
18 which proposals would not be continuing for economic
19 evaluation.

20 Q At Page 6, Line 6, after describing the methodology,
21 you state, "Thus, I would not have to rely on FPL's modeling of
22 a proposal. Instead I would be able to insert my own inputs
23 into my own model and independently evaluate the economic
24 impacts of any particular bid. You are referring to your use
25 of the RSM for that purpose?"

1 A That is correct.

2 Q In your testimony you describe how you obtained some
3 EGEAS data points from FPL to include in your RSM model, is
4 that correct?

5 A That is correct.

6 Q And if I understand correctly, at your request FPL
7 used something of a proxy resource or resources of different
8 sizes, plugged that into EGEAS and gave you the impact on
9 production costs assuming different prices, is that correct?

10 A Yes, basically.

11 Q And you populated those data points in your
12 spreadsheet model for use in approximating production costs
13 when you evaluated one of the bid proposals, correct?

14 A Correct.

15 Q So that if you had a resource or a proposal that was
16 of the same size that was modeled but at a different price you
17 would extrapolate from the data points supplied by FPL to
18 approximate the impact on production costs?

19 A That is correct.

20 Q So would you agree that when you approximated the
21 production costs associated with a particular bid you were
22 using a methodology that was derived from EGEAS runs supplied
23 to you by FPL?

24 A With that small factor of the production cost. Most
25 of the costs of the proposals was embodied in the fixed cost of

1 a proposal which involved things like capacity, and fixed O&M
2 pricing, fuel transportation, and so forth. Those costs were
3 calculated entirely independently in the RSM. Also, the
4 variable dispatch price of a resource, which is a critical
5 component of determining what its fuel savings may be when it
6 gets represented in the FPL system, was also entirely
7 independently calculated in the RSM with no reliance whatsoever
8 on EGEAS. So out of three categories of costs, two of the
9 largest ones were really handled entirely independently and the
10 third one was based on this response surface that came from
11 information from EGEAS that was obtained before the bids were
12 opened.

13 Q And the calculation of the capacity cost component is
14 simply taking the bidder's price and multiplying that by the
15 amount of megawatts offered, is it not?

16 A With fuel transportation costs and start-up costs and
17 other things that were included in the evaluation.

18 Q So with respect to the production cost component, you
19 did rely on the data points that were supplied to you from
20 EGEAS runs provided by FPL?

21 A Correct.

22 Q And with respect to the number of starts to be
23 assumed, that number was also provided to you by FPL, was it
24 not?

25 A Yes.

1 Q And the transmission integration costs, were those
2 supplied to you by FPL?

3 A Yes, from their consultant.

4 Q At Page 11, beginning at Line 9, you make this
5 statement, "Although the RSM is not a detailed model and could
6 not simulate FPL's production costs with EGEAS accuracy, in the
7 end the independent RSM evaluation results track the EGEAS
8 results quite well." And so the objective with which you were
9 successful was to attempt to track the EGEAS results that FPL's
10 EGEAS model would have calculated?

11 A No, I would not say that was the objective at all.
12 The objective was for me to perform an independent evaluation.
13 What I am meaning by that statement in my testimony is that
14 FPL's costs lined up with mine, so there was no concern that
15 there had been by the end of the process any significant errors
16 introduced or anything. That I was really retained as an
17 independent evaluator to make sure it did not happen.

18 Q With respect to the equity penalty, it is true, is it
19 not, that you did not examine any other aspect of FPL's risk
20 profile such as a balance sheet in assessing whether and how
21 ratings agencies would review its risk?

22 A I'm not sure I fully understand you question. If you
23 could repeat that.

24 Q Yes. You have some discussion of the equity penalty
25 and your approval of the concept, but isn't it true that rating

1 agencies evaluate far more than this imputed debt subject when
2 assessing the risk profile of a utility for purposes of
3 ratings?

4 A That is correct.

5 Q And you did not look to any other aspect of FPL's
6 risk profile to assess how rating agencies might view FPL in a
7 purchased power situation?

8 A No. The important issue here, I was not retained to
9 examine any of the risk issues in the solicitation, but just to
10 examine the economic issues of the self-build versus outside
11 proposals and come up with the best plan. I do think that the
12 equity penalty concept itself is something that can be
13 specifically quantified and therefore deserves to be in the
14 economic analysis. That doesn't mean that there aren't other
15 issues on the risk side of the picture both for and against
16 self-build and for and against outside proposals that do need
17 to be considered, but I was not retained to look at those
18 issues.

19 MR. McGLOTHLIN: That's all I have.

20 MR. PERRY: I have no questions.

21 MR. HARRIS: We just have a few questions.

22 CROSS EXAMINATION

23 BY MR. HARRIS:

24 Q Would it be safe to say, Mr. Taylor, that you have
25 worked on at least a dozens solicitations similar to this one?

1 A Yes.

2 Q And to maintain your knowledge base and your
3 professional standing, do you keep track of other
4 solicitations?

5 A Yes, although there is not a great deal of
6 information one can obtain from those solicitations unless you
7 are directly involved, but I am aware of them occasionally.

8 Q Do you read the requests for proposals or the terms
9 of the solicitations?

10 A Occasionally, yes.

11 Q Considering all the solicitations that you have
12 personally worked on or that you have become aware of in the
13 course of your professional duties, would it be correct to say
14 that the MidAmerican solicitation in the upper midwest is the
15 only solicitation outside of Florida that you have knowledge of
16 where the equity penalty concept was actually considered by a
17 state commission?

18 A Yes, that is true.

19 Q And it's true that the MidAmerican solicitation was
20 considered by Illinois, Iowa, and South Dakota, is that
21 correct?

22 A Right. All three state commissions reviewed the
23 results of that solicitation, which did include the imposition
24 of an equity penalty.

25 Q Isn't it true that none of those state commission

1 orders made any reference to the equity penalty concept?

2 A That is true. My recollection of the results of that
3 solicitation were that the equity penalty was not a significant
4 factor in that case. In fact, it wasn't actually even a
5 solicitation that involved a self-build facility. It involved
6 an affiliate transaction and that affiliate contract was
7 also -- it had an equity penalty applied to it, as well. So it
8 was an issue where an equity penalty was applied consistently
9 across anything that would impact the buying utility's balance
10 sheet. But it was not a significant factor, so therefore it
11 was of no surprise not to see it explicitly referenced in the
12 commission orders.

13 Q Was it mentioned in the orders?

14 A I don't believe it was.

15 Q How do you have knowledge of it being an issue in
16 those state commission dockets, then?

17 A Because I reviewed the economic analysis, the
18 calculation of the equity penalty and the ranking of the
19 various proposals and know that it was not a significant
20 factor.

21 Q The equity penalty adjustment as Florida Power and
22 Light is proposing it be being applied in this proceeding, was
23 it designed by -- to the best of your knowledge, was it
24 designed by Standard & Poor's or was it designed by Florida
25 Power and Light?

1 A The imputed debt part of the calculation as far as
2 how much debt might be assumed with various purchased power
3 agreements is something that Standard & Poor's has published
4 information on. The calculation of the technical equity
5 penalty as an equity versus debt cost difference is something
6 that I have seen other utilities use both here in this state
7 and outside of the state. And in reviewing the formulaic
8 approach that was applied in this case, I can say that it is
9 consistent with what I have seen done in other states and here
10 in Florida.

11 Q So your answer would be that it was or was not
12 designed by Standard and Poor's as being applied here?

13 A Half of it was designed.

14 Q And would it be fair to say that you have worked on a
15 number of solicitations that have involved purchased power
16 contracts?

17 A Yes.

18 Q And would you agree that from the viewpoint of a
19 credit rating agency there are positive aspects to a purchased
20 power contract that would decrease the risk to the purchasing
21 utility?

22 A That I'm not sure of. I guess I would say that there
23 is a possibility if a utility were in a very financially
24 stressed situation, the financial community may have greater
25 faith in their obtaining their power supplies from an outside

1 power provider than trying to build the facility themselves,
2 particularly if they did not have a very good track record. So
3 I suppose in a distressed utility situation I could imagine
4 where a purchase contract may actually be viewed by the rating
5 agencies more favorably. But outside of that kind of extreme
6 circumstance, I can't think of a situation where this element
7 as far as the application of an equity penalty would not be the
8 case.

9 MR. HARRIS: That is all the questions I have. Thank
10 you.

11 CHAIRMAN JABER: Commissioners. Redirect.

12 MR. NIETO: Just a couple of questions.

13 REDIRECT EXAMINATION

14 BY MR. NIETO:

15 Q Mr. Taylor, could I direct your attention to the
16 letter that Mr. Moyle handed you?

17 A Yes.

18 Q Would you turn to the very last page of that? Could
19 you explain to me what this last page is, which is a separate
20 letter from the first 7 pages?

21 A Yes. This basically represents simply an expansion
22 of the scope.

23 Q Could you read for us Paragraph 1 out of the three
24 numbered paragraphs?

25 A "This letter serves to confirm our verbal agreement

1 to expand the scope --"

2 Q I'm sorry, Paragraph 1 where the paragraphs are
3 actually numbered.

4 A I'm sorry.

5 Q After the first unnumbered paragraph there is a
6 series of numbered paragraphs or bullet points. Could you read
7 the first of those?

8 A About developing testimony?

9 Q Yes.

10 A "To develop testimony and exhibits explaining the
11 independent evaluation process and results from Sedway
12 Consulting's activities in the FPL solicitation project for
13 filing an FPL needs study docket."

14 Q Mr. Moyle had asked you some questions regarding the
15 earlier letter and the fact the word independent is not in it.
16 In your mind was your role independent of FPL?

17 A Absolutely. Certainly in all verbal discussions from
18 the very beginning it was my understanding and what was
19 represented to me was that my evaluation had to be entirely
20 independent. And I was given full reign to perform my own
21 evaluation, decide to include or exclude whatever parameters I
22 thought were most important in the evaluation, and to challenge
23 anything that I saw in FPL's analysis that I did not feel was
24 appropriate.

25 Q Mr. Moyle asked you a couple of questions regarding

1 whether you had reviewed the bids, and I believe your answer
2 was that you had not reviewed the bids during the evaluation
3 process. Have you had occasion to review the bids since then?

4 A Yes. During the evaluation process the evaluation
5 was performed on a masked basis where the identities of the
6 bidders were kept from me to make sure that if I had any sort
7 of bias for or against various bidders because of experiences
8 in other solicitations, that that would not in any way color my
9 interpretation of the bid information.

10 I, for the record, do not have biases. However, FPL
11 felt best in providing the information on an entirely blind or
12 masked basis. However at the beginning of this week, I took
13 the opportunity to review the proposals, they were made
14 available to me, and confirmed that all of the information that
15 had been provided by FPL indeed corroborated with what was in
16 the original proposals. I wanted to make sure that there was
17 challenge to the economic evaluation that I performed as not
18 having been in some way corroborated with the actual proposals.

19 MR. NIETO: Thank you. That's all I have.

20 CHAIRMAN JABER: Exhibit 24, without objection will
21 -- what, Mr. Moyle?

22 MR. MOYLE: No, I was thinking maybe -- I said I was
23 going to publish that. I have taken about five copies and
24 scratched out the price terms, and there were two letters that
25 were referenced here, it may be clearer for the record if I go

1 ahead and introduce this letter.

2 CHAIRMAN JABER: I didn't have a copy of the letter.
3 Confer with counsel and see if you all can reach a stipulation.
4 My problem with it is this, Mr. Moyle, I wasn't looking at the
5 letter while you all were asking questions about it, it wasn't
6 passed out. Confer with counsel. This may be quickly resolved
7 by stipulation and I will be all right with it.

8 (Off the record.)

9 MR. NIETO: Madam Chair, we agree and have no
10 objection.

11 CHAIRMAN JABER: Mr. Moyle, give me a short title and
12 that will be Hearing Exhibit 25.

13 MR. MOYLE: I think it will be a composite exhibit
14 that consists of a -- let's just call it agreement with
15 subsequent modification between Sedway Consulting and Steel,
16 Hector.

17 CHAIRMAN JABER: Thank you. It is Hearing Exhibit
18 25.

19 (Exhibit 25 marked for identification.)

20 CHAIRMAN JABER: All right. And without objection
21 Exhibits 24 and 25 are admitted into the record.

22 (Exhibits 24 and 25 admitted into the record.)

23 CHAIRMAN JABER: Mr. Moyle, I am going to wait for
24 you to sit down. I want to talk about witnesses for tomorrow
25 and what we expect. Mr. Taylor, you may be excused.

1 THE WITNESS: Thank you.

2 CHAIRMAN JABER: Mr. Moyle, you have identified two
3 witnesses, Sam Waters and Daisy Iglesias as adverse witnesses.
4 I am assuming there has been a subpoena issued?

5 MR. MOYLE: There has for Mr. Waters. Ms. Iglesias
6 is in the room and counsel has made her available.

7 CHAIRMAN JABER: Excellent. So both of those people
8 will be here tomorrow. I want all witnesses left on the list
9 here tomorrow.

10 MR. MOYLE: Mr. Waters has been under subpoena. I
11 told him earlier in the week that I was not releasing him from
12 the subpoena. I wanted to see how things progressed and
13 whether I would need him. I don't need him. I'm not going to
14 calling him, so I left it with him that if he didn't hear back
15 from me he was excused. In effect, reserving my right to call
16 him if something developed today where I needed him.

17 CHAIRMAN JABER: But let me be clear for the record,
18 you will not be calling Mr. Waters as a witness?

19 MR. MOYLE: That is correct.

20 MR. GUYTON: May I inquire as to Ms. Iglesias? I
21 have been trying to find out all week as to whether he intended
22 to call her or not.

23 MR. MOYLE: I don't know. I need to talk with my
24 client. And my client will be here, Mr. Finnerty, he has a
25 4:00 o'clock plane, I believe, tomorrow afternoon. So

1 hopefully we can accommodate him.

2 CHAIRMAN JABER: All right. So as of this point, Mr.
3 Guyton, Ms. Iglesias will be expected to be here tomorrow and
4 you all can continue to talk about it.

5 MR. GUYTON: Any notice that we can be given we would
6 appreciate.

7 CHAIRMAN JABER: Sure. Mr. Moyle, I think that is a
8 reasonable request, but at the same time she is listed as an
9 adverse witness, so I will expect her to be here tomorrow until
10 I hear otherwise.

11 MR. GUYTON: I understand. And as we have indicated
12 to Mr. Moyle from the start, we may object to calling her, but
13 we have not forced that issue because it has been unclear to us
14 whether or not she would actually be called, Madam Chairman.

15 MR. MOYLE: That's right. And also she was going to
16 be here anyway, so just for the record it is not as I
17 understand an imposition. She was planning on being here
18 anyway and counsel agreed to make her available. We worked it
19 out, so I don't have her under subpoena. _____

20 MR. GUYTON: That is the part that -- I have not
21 agreed to make her available. I have said that she would be in
22 Tallahassee. I have consistently told Mr. Moyle that I reserve
23 the right to object.

24 MR. MOYLE: He is correct.

25 CHAIRMAN JABER: Well, let me tell both of you

1 something. The prehearing officer signed an order that
2 indicates that both of those people are listed as adverse
3 witnesses. That puts both you on notice on what the game plan
4 is. Mr. Moyle, out of professional courtesy, figure out if you
5 need that witness or not and let FPL know. But, Mr. Guyton,
6 whether you made her available at Mr. Moyle's request or she
7 was going to be here doesn't matter. This order indicates she
8 was to be called as an adverse witness, so I will expect her
9 here tomorrow. We are going to conclude for this evening. We
10 will pick up at 8:30 tomorrow morning.

11 (The hearing adjourned at 6:15 p.m.)

12 (Transcript continues in sequence with Volume 7.)

13
14
15
16
17
18
19
20
21
22
23
24
25


1 STATE OF FLORIDA)
2 : CERTIFICATE OF REPORTER
3 COUNTY OF LEON)

4
5 I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter
6 Services, FPSC Division of Commission Clerk and Administrative
7 Services, do hereby certify that the foregoing proceeding was
8 heard at the time and place herein stated.

9 IT IS FURTHER CERTIFIED that I stenographically
10 reported the said proceedings; that the same has been
11 transcribed under my direct supervision; and that this
12 transcript constitutes a true transcription of my notes of said
13 proceedings.

14 I FURTHER CERTIFY that I am not a relative, employee,
15 attorney or counsel of any of the parties, nor am I a relative
16 or employee of any of the parties' attorney or counsel
17 connected with the action, nor am I financially interested in
18 the action.

19 DATED THIS 4TH DAY OF OCTOBER, 2002, 2001.

20
21
22
23
24
25


JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732