

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


In the Matter of

PETITION OF COMPETITIVE CARRIERS
FOR COMMISSION ACTION TO SUPPORT
LOCAL COMPETITION IN BELLSOUTH
TELECOMMUNICATIONS, INC.'S
SERVICE TERRITORY.

DOCKET NO. 981834-TP

PETITION OF ACI CORP. d/b/a/
ACCELERATED CONNECTIONS, INC. FOR
GENERIC INVESTIGATION TO ENSURE THAT
BELLSOUTH TELECOMMUNICATIONS, INC.,
SPRINT-FLORIDA, INCORPORATED, AND
GTE FLORIDA INCORPORATED COMPLY WITH
OBLIGATION TO PROVIDE ALTERNATIVE LOCAL
EXCHANGE CARRIERS WITH FLEXIBLE, TIMELY,
AND COST-EFFICIENT PHYSICAL COLLOCATION.

DOCKET NO. 990321-TP



ELECTRIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 3

PAGES 268 THROUGH 381

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LILA A. JABER
COMMISSIONER J. TERRY DEASON
COMMISSIONER BRAULIO BAEZ
COMMISSIONER RUDOLPH "RUDY" BRADLEY
COMMISSIONER CHARLES M. DAVIDSON

DATE: Monday, August 11, 2003

DOCUMENT NUMBER DATE

07719 AUG 20 8

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TIME: Commenced at 9:30 a.m.
Adjourned at 4:40 p.m.

PLACE: Betty Easley Conference Center
Room 148
4075 Esplanade Way
Tallahassee, Florida

REPORTED BY: JANE FAUROT, RPR
Chief, Office of Hearing Reporter Services
FPSC Division of Commission Clerk and
Administrative Services
(850) 413-6732

APPEARANCES: (As heretofore noted.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESSES

NAME:	PAGE NO.
EDWARD FOX	
Direct Examination by Ms. Masterton	272
Prefiled Direct Testimony Inserted	274
Prefiled Rebuttal Testimony Inserted	293
Cross Examination by Mr. Watkins	304
Cross Examination by Mr. Self	310
JIMMY DAVIS	
Direct Examination by Ms. Masterton	327
Prefiled Direct Testimony Inserted	330
Prefiled Rebuttal Testimony Inserted	341
Cross Examination by Mr. Watkins	357

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

EXHIBITS

NUMBER:

MRKD.

ADMTD.

19

JRD-1

353

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

CHAIRMAN JABER: Sprint.

EDWARD FOX

was called as a witness on behalf of Sprint-Florida,
Incorporated and, having been duly sworn, testified as follows:

DIRECT EXAMINATION

BY MS. MASTERTON:

Q Mr. Fox, would you please state your full name and
address for the record?

A My name is Edward Fox, and my address is 6450 Sprint
Parkway in Overland Park, Kansas.

Q And by whom are you employed and in what capacity?

A I am employed by Sprint Corporation as the Senior
Manager of Regulatory Policy.

Q Are you the same Edward Fox who filed direct
testimony on December 19th, 2002 consisting of 19 pages?

A Yes.

Q Do you have any changes to that testimony?

A Two minor changes. On Page 1 of the direct
testimony, Line 8, the business address is changed to 6450.
And then on Page 13, Line 16, I have quoted an FCC rule, and
the correct rule reference is 51.323. Those are the only
changes.

COMMISSIONER BRADLEY: What is it now?

1 THE WITNESS: 51.323 is the correct one. I had .321
2 before.

3 BY MS. MASTERTON:

4 Q And so, Mr. Fox, if I asked you those questions today
5 with the changes that you just indicated would your answers be
6 the same?

7 A Yes.

8 MS. MASTERTON: Madam Chairman, I would like to move
9 that Mr. Fox's direct testimony be inserted into the record.

10 CHAIRMAN JABER: The prefiled direct testimony of
11 Edward Fox shall be inserted into the record as though read.

12 BY MS. MASTERTON:

13 Q And, Mr. Fox, are you the same Edward Fox who filed
14 rebuttal testimony on January 21st, 2003 consisting of 12
15 pages?

16 A Yes.

17 Q Do you have any changes to that testimony?

18 A No, I don't.

19 Q So if I asked you those questions today would your
20 answers be the same?

21 A Yes.

22 MS. MASTERTON: Madam Chairman, I would like to move
23 that the rebuttal testimony be inserted into the record.

24 CHAIRMAN JABER: The prefiled rebuttal testimony of
25 Edward Fox shall be inserted into the record as though read.

1 **BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**

2 **DIRECT TESTIMONY OF**

3 **Edward Fox**

4

5 **Q. Please state your name, your position with Sprint, and your business address.**

6

7 A. My name is Edward Fox. I am currently employed as Senior Manager – Regulatory
8 Policy for Sprint Corporation. My business address is ⁶⁴⁵⁰~~6360~~ Sprint Parkway,
9 Overland Park, Kansas 66251.

10

11 **Q. Please describe your educational background and work experience.**

12

13 A. I received a Masters of Business Administration from Ashland University in 1989 and
14 a Bachelor of Science degree in History from Taylor University. In my current
15 position, I am responsible for developing state and federal regulatory policy and
16 legislative policy for Sprint Corporation for collocation, and I am responsible for
17 coordinating this policy across the multiple business units of Sprint, i.e. its Incumbent
18 Local Exchange Company (ILEC), Wireless, and Long Distance Divisions which
19 includes Sprint's Alternative Local Exchange Carrier (ALEC) operations. I have been
20 in this position since January 2001. For the four years prior, I served as the Network
21 Policy Manger for Sprint's ILEC operations. Between 1977 and 1996 I held positions
22 in sales, marketing, competitive analysis, and product management within Sprint's
23 local telecommunications division.

1 **Q. Have you testified previously before a state regulatory commission?**

2

3 A. Yes. I have testified before the state regulatory commissions in Maryland,
4 Pennsylvania and in Massachusetts. I have provided written testimony in Texas, and
5 the District of Columbia.

6

7 **Q. Is Sprint qualified to speak to both CLEC and ILEC interests?**

8

9 A. Yes. Sprint approaches the local competition issues raised in this proceeding from the
10 standpoint of a corporation whose operating subsidiaries are on both sides of these
11 issues. Sprint's long-distance subsidiary (Sprint LD) is in the process of
12 implementing competitive local services, including broadband DSL products.
13 Nationally, Sprint LD expects to be collocated in hundreds of ILEC central offices by
14 the end of this year. Sprint owns a group of incumbent local telephone companies
15 (ILECs) that now comprise the fifth largest ILEC in the nation; these companies are,
16 of course, subject to the rules adopted at both the state and national levels. Sprint's
17 positions in this testimony reflect its own internal efforts to weigh the needs of
18 ALECs against the legitimate concerns of ILECs in a fashion that reasonably
19 accommodates both sets of interests. This testimony is the product of the same
20 process of weighing ALEC and ILEC interests that the Commission itself will have to
21 undertake in reaching its own resolution of these issues surrounding collocation.

22

23

1 **What is the purpose of your testimony in this proceeding?**

2

3 A. The purpose of my testimony is to state Sprint's policy on the collocation topics that
4 the FPSC has asked to be addressed in this proceeding. These policies address
5 technical and/or operational issues on these topics. My testimony addresses either in
6 whole or in part, issues 1A, B, C; 2A, B, C, D, 3; 4; 6A; 7; and 8. I am testifying on
7 behalf of Sprint – Florida, Incorporated and Sprint Communications Limited
8 Partnership (hereafter referred to as "Sprint" or the "Company").

9

10 **ISSUE 1A. WHEN SHOULD AN ALEC BE REQUIRED TO REMIT PAYMENT**
11 **FOR NON-RECURRING CHARGES FOR COLLOCATION SPACE?**

12

13 **Q. What are nonrecurring charges?**

14

15 A. Non-recurring charges are one-time charges intended to cover material and labor
16 needed to provision unbundled network elements including collocation.

17

18 **Q. What are typical types of nonrecurring costs an ILEC incurs in addressing**
19 **ALEC requests for collocation?**

20

21 A. These types of costs include: location design and engineering, materials and material
22 handling, installation labor, DC power plant configurations, HVAC system evaluation,
23 and security cage construction. These up front cost benefit only the requesting carrier.

24

1 **Q. When should an ALEC be required to remit payment for nonrecurring charges?**

2

3 A. The ALEC should be required to remit 50% of the nonrecurring charges at the time of
4 the firm order is placed and 50% upon acceptance of the collocation arrangement.

5

6 **Q. Why should an ALEC be required to pay 50% of the cost prior to the beginning
7 of construction?**

8

9 A. Sprint incurs costs to construct collocation space upon initiation of construction. A
10 partial payment of these costs is appropriate to ensure that Sprint recovers its costs to
11 prepare the space requested by the ALEC. Costs that are incurred immediately, e.g.
12 materials and labor, are covered by the up-front amount. It is standard practice in the
13 construction industry to require partial payment of construction costs up front. In
14 addition, there is a risk factor to the ILEC since requesting carriers experience varying
15 degrees of financial stability. The 50% is not considered a deposit, but rather a
16 payment to cover direct expenses.

17

18 **ISSUE 1B. WHEN SHOULD BILLING OF MONTHLY RECURRING**
19 **CHARGES (MRCs) BEGIN?**

20

21

22

23

1 **When should billing of MRCs begin?**

2

3 A. Billing of MRCs should begin upon acceptance of the collocation space by the
4 ALEC.

5

6 **Q. Please explain the process for an ALEC to accept collocation space.**

7

8 A. Pursuant to the terms of Sprint's interconnection agreements and Sprint's policies for
9 implementing the agreements, Sprint notifies the ALEC when construction of a
10 collocation space is complete. The parties complete an acceptance walkthrough of
11 each provisioned collocation space. At the conclusion of the acceptance walk through,
12 or after any deviations noted during the walkthrough are corrected, the ALEC executes
13 a written document accepting the collocation space. Under Sprint's current
14 interconnection agreement and policies, this is the date that MRCs take effect. If the
15 ALEC does not conduct an acceptance walk through within 15 days of the notification
16 that the Collocation Space construction is complete, the ALEC is deemed to have
17 accepted the collocation space and MRC billing will commence. This policy is
18 necessary to avoid an ALEC delaying a walkthrough solely for the purpose of
19 avoiding payment for completed collocation space.

20

21

22

23

1 **Q. Why is acceptance of the collocation space the appropriate time to begin billing?**

2

3 A. When collocation construction begins, the space is effectively dedicated to the ALEC,
4 i.e., it is no longer available for use by the ILEC or other ALECs. Once the collocation
5 space has been accepted, it indicates that the ILEC has met its provisioning
6 responsibilities and its costs of operation have begun. The ALEC may begin its
7 equipment installation, testing and customer connections at that time.

8

9 **ISSUE 1C. WHAT CANCELLATION CHARGES SHOULD APPLY IF AN ALEC**
10 **CANCELS ITS REQUEST FOR COLLOCATION SPACE?**

11

12 **Q. What circumstances does Sprint interpret the term “cancellation” to include for**
13 **the purposes of assessing “cancellation charges?”**

14

15 A. Sprint interprets the term cancellation to include situations in which an ALEC cancels
16 a collocation space order prior to acceptance of the space and situations in which an
17 ALEC withdraws from (i.e., “decommissions”) a completed, accepted collocation
18 arrangement.

19

20 **Q. When an ALEC cancels an order for collocation space, what charges should**
21 **apply?**

22

23

1 A. The ALEC should reimburse the ILEC for any actual expenses incurred and not
2 already paid, which may include incidental equipment costs, material (ordered,
3 provided or used), labor, transportation, DS0, DS1 and DS3 cable, fiber, and all other
4 associated costs.

5

6 **Q. When an ALEC decommissions its collocation space, what charges should**
7 **apply?**

8

9 A. In the event an ALEC desires to decommission the use of the collocation space, the
10 ALEC should be required to complete an application detailing all information
11 regarding the decommissioning of the collocation space. An application charge applies
12 and should be submitted with the application. Sprint's witness Jimmy R. Davis
13 discusses the cost issues associated with decommissioning on pages 4 and 5 of his
14 Direct Testimony also filed today

15

16 **ISSUE 2A. SHOULD AN ALEC BE REQUIRED TO JUSTIFY ITS SPACE**
17 **RESERVATION NEEDS TO THE ILEC WHEN AN ILEC IS FORCED TO**
18 **CONSIDER A BUILDING ADDITION TO ACCOMMODATE FUTURE SPACE**
19 **REQUIREMENTS?**

20

21 **Q. Should an ALEC be required to justify its space reservation needs when an**
22 **ILEC is forced to consider a building addition or major renovation to**
23 **accommodate the ILEC's future space requirements?**

1 A. Yes. Floor space is a valuable resource and its availability impacts all parties. It is
2 incumbent upon all parties to efficiently use space, since all parties jointly benefit
3 from its efficient use. The FCC has adopted reasonable restrictions on warehousing
4 of space, which apply to both the ALECs and the ILEC. In its First Report and Order
5 in Docket No. 96-98, FCC Order No. 96-325, the Local Competition Order, at ¶ 586,
6 the FCC states that "...inefficient use of space by one ALEC could deprive another
7 entrant of the opportunity to collocate facilities or expand existing space." Likewise,
8 ILECs are not allowed to warehouse space, but are permitted to reserve a limited
9 amount of space for specific future uses. Accordingly, both parties have responsibility
10 for efficient use of space, and each party must be required to justify its space
11 reservation requirements when the reservation of space is affecting space availability.

12

13 **Q. Are there are other circumstances when an ALEC should be required to justify**
14 **its space reservation needs?**

15

16 A. Yes. In addition to an ALEC justifying its reserved space when the ILEC is facing the
17 need for a building addition, space justification should also be required when the ILEC
18 must deny subsequent collocation requests. This space justification would be in
19 response to another ALEC's space denial, subsequent walk-through, and challenge of
20 the ALEC's space utilization before the PSC.

21

22 **ISSUE 2B. UNDER WHAT CONDITIONS SHOULD AN ILEC BE ALLOWED**
23 **TO RECLAIM UNUSED COLLOCATION SPACE?**

1 **Q. What is unused collocation space?**

2

3 A. Clearly, the situations where a requesting carrier has ordered space and has not placed
4 operational telecommunications equipment or has not connected to the ILEC's
5 network within 180 days of space acceptance are examples of unused space.
6 Unused space may also include any space that the ALEC has not used within the
7 Commission-established, 18-month space reservation timeframe. The space requested
8 by a collocator on its initial collocation application is the total amount of space to
9 which it is entitled. For example, if a collocator applies for 400 square feet of
10 physical collocation, it is assumed that the collocator is taking into account future
11 growth requirements as part of those 400 square feet. If that collocator uses only 100
12 square feet, it in effect has 300 square feet of reserved space. If this space is not used
13 within 18 months of space acceptance, it should be considered "unused."

14

15 **Q. Should an ILEC be entitled to reclaim unused space?**

16

17 A. Yes. The ILEC should be allowed to reclaim unused collocation space when, without
18 the space, the ILEC is forced to consider a building addition or a major renovation.
19 The ILEC should be able to reclaim space if the ALEC cannot adequately justify its
20 future need for the space within the 18-month period. Hence, if the ALEC has not
21 used its reserved space within 18 months, or the ALEC has not properly justified its
22 space, and a condition exists where the ILEC would need to reclaim space, the
23 ALEC's unused space would be considered "warehoused" and eligible for take-back.

1 **ISSUE 2C. WHAT OBLIGATIONS, IF ANY, SHOULD BE PLACED ON THE**
2 **ALEC THAT CONTRACTED FOR THE SPACE?**

3

4 **Q. Are there obligations that should be placed on an ALEC to justify its need for**
5 **reserved space?**

6

7 A. In its Generic Collocation Order No. PSC-00-0941-FOF-TP, in this docket, the
8 Commission requires at page 103 "...that ALEC shall provide the ILECs with two-
9 year forecasts, on an annual basis, to assist the ILECs in CO planning." The Order
10 includes forecast variables that could be used in determining future space needs. These
11 variables include historical collocation data, CO characteristics, CO location, the
12 market service area, the historic growth rate, trending data, and general technology
13 effects.

14

15 **Q. What are the ALEC's obligations if it is determined that space may be reclaimed**
16 **by the ILEC?**

17

18 A. The ALEC should review its space requirements with the ILEC with the expectation
19 that the parties could come to mutual agreement on space that is to be reclaimed. If
20 agreement cannot be achieved, then the parties should resolve the issue with the
21 Commission through the dispute resolution process.

22

1 **ISSUE 2D. WHAT OBLIGATIONS, IF ANY, SHOULD BE PLACED ON THE**
2 **ILEC?**

3

4 **Q. What obligations should be placed on an ILEC to justify its need to reclaim space**
5 **reserved for the ALEC?**

6

7 A. Both parties should have similar obligations to justify space needs. The ILEC should
8 justify the necessity of a building expansion or a major renovation.

9

10 **Q. What factors should an ILEC consider prior to initiating a possible collocation**
11 **space reclamation?**

12

13 A. To determine when space reclamation is warranted, the ILEC should consider its
14 obligations as a provider of last resort, emergency services needs, the availability of
15 space and the potential it will be required to make a building expansion in the near
16 future without the ALEC space reclamation.

17

18 **Q. How should the ILEC proceed with an unused space reclamation?**

19

20 A. If it becomes necessary, and no other reasonable alternatives are available, the ILEC
21 should have the right for good cause shown and upon 30 days prior notice to request
22 that the ALEC allow the ILEC to reclaim the unused collocation space or any portion
23 thereof, including any inner duct, outside cable duct, cable vault space or other ILEC-

1 provided facility. The ILEC should be able to reclaim space in order to fulfill its
2 common carrier obligations, to satisfy any order or rule of the state commission or the
3 FCC, or the ILEC's carrier of last resort requirements to provide telecommunications
4 services to its customers. The ILEC will need to demonstrate to the Commission,
5 under non-disclosure agreement, that its future use of space is well defined, and the
6 unavailability of space would prevent the ILEC from serving its customers efficiently.
7 Both the FCC in the Local Competition Order and the FPSC in the Generic
8 Collocation Order have held that ILECs may not, however, reserve space for future
9 use on terms more favorable than those that apply to other telecommunications
10 carriers seeking to hold collocation space for their own future use. In order to reclaim
11 space, the ILEC must also demonstrate that there is no other suitable collocation space
12 in the building before being allowed to reclaim unused space of an ALEC. Pursuant to
13 FCC Rule 51.321(i), the ILEC must, upon request, have removed obsolete unused
14 equipment from its premises to increase the amount of available space.

15
16 **Q. What if expenses are incurred by either party when space is reclaimed?**

17
18 A. The terms and conditions (Ts & Cs) of the particular interconnection/collocation
19 agreement would dictate where the responsibility lay. If applicable Ts & Cs are not in
20 the interconnection agreement, then the ILEC would be responsible for the expenses
21 directly attributable to the reclamation of space if it is the party initiating the space
22 reclamation. If another party, e.g. an ALEC, is the requesting party, the cost of
23 rearrangements will be borne by it.

1 **Q. What types of expenses might be incurred in space reclamation?**

2

3 A. Cage boundaries may need to be moved; also equipment and cabling rearrangements
4 may be required. Administrative changes would also be necessary, such as changes to
5 billing and floor plan usage records.

6

7 **ISSUE 3. SHOULD AN ALEC HAVE THE OPTION TO TRANSFER**
8 **ACCEPTED COLLOCATION SPACE TO ANOTHER ALEC? IF SO, WHAT**
9 **ARE THE RESPONSIBILITIES OF THE ILEC AND ALECS?**

10

11 **Q. Should an ALEC have the option to transfer its collocation space to another**
12 **ALEC if an office is full and there is a waiting list for the space?**

13

14 A. No. If the ALEC has accepted the space from the ILEC but is not going to use the
15 space, the ALEC must relinquish that space and the ILEC will provide the space to the
16 next ALEC on the waiting list for that site. Pursuant to FCC Rule 51.³²³~~321~~ (f), the ILEC
17 has the responsibility to assign space to ALECs on a first-come, first-served basis.
18 This is the only fair way to deal with ALECs that are waiting for collocation space. If
19 the ALEC could transfer its unwanted space, it could bypass the next ALEC on the
20 waiting list in favor of another ALEC.

21

22 **Q. Should an ALEC have the option to transfer its collocation space to another**
23 **ALEC if an office is not full and there is no waiting list for space?**

1 A. No. If there is no waiting list, the ALEC should still relinquish to the ILEC any space
2 it is not going to use. This approach prevents ALECs from speculating in collocation
3 space. Under the FCC Collocation Remand Order, Fourth Report and Order in Docket
4 No. 98-147, FCC Order No. 01-204, at ¶ 92, the ILEC, not the ALEC, has the
5 obligation to act as a “neutral property owner and manager...” This duty can be
6 carried out only if the ILEC provides the relinquished space to the next requesting
7 ALEC.

8

9 **Q. What should be the responsibilities of the ALECs, if an ALEC is allowed to**
10 **transfer accepted collocation space?**

11

12 A. The incoming carrier must have an approved interconnection agreement with the
13 ILEC and must have received all requisite certifications to operate as an ALEC in
14 Florida. The outgoing ALEC must be responsible for all charges in full (NRCs and
15 MRCs) owed to the ILEC at the time the ALEC exits the premises. Additionally, the
16 ALEC must be current (with the exception of disputed charges) in the payment of all
17 collocation charges applicable to the transferred collocation site at the time of transfer.
18 The incoming ALEC must be responsible for all charges beginning with the exit of the
19 first ALEC. The incoming ALEC must submit a full application for collocation prior
20 to the transfer.

21

22 **Q. What would be the responsibilities of the ILEC, if an ALEC is allowed to**
23 **transfer accepted space?**

1 A. The ILEC must be exonerated from the first-in-first-out obligation as a landlord of
2 collocation space. If other carriers are not required to relinquish their space back to
3 the ILEC, then the ILEC cannot be held responsible for a fair and objective
4 administration of applications for collocation. Upon receipt of the collocation
5 application from the assuming ALEC, the ILEC should evaluate its HVAC, floor
6 loading, and power requirements, and any other infrastructure and design requirements
7 needed to meet the requirements of the collocator. These are all activities that must be
8 performed by the ILEC whether it is a new collocation arrangement or a space swap.
9 If the ILEC has to perform any subsequent work, the ILEC should submit a price
10 quote back to the ALEC within 15 days. If a work completion date cannot be
11 negotiated between the parties, the request should be treated as a new installation. In
12 this situation, no performance measures should apply.

13

14 **ISSUE 4. SHOULD THE ILEC BE REQUIRED TO PROVIDE COPPER**
15 **ENTRANCE FACILITIES WITHIN THE CONTEXT OF A COLLOCATION**
16 **INSIDE THE CENTRAL OFFICE?**

17

18 **Q. Have the FCC or FPSC provided any guidance concerning when an ILEC must**
19 **allow copper entrance facilities in the collocation context?**

20

21 A. Yes. In its Generic Collocation Order issued May 12, 2000 in this docket, the
22 Commission held that ALECs should be allowed to use copper entrance facilities
23 unless the ILEC could demonstrate that entrance capacity in the particular office was

1 near exhaust. In its reconsideration of that order in Order No. PSC-00-2190-PCO-TP,
2 at page 6, the Commission clarified that this ruling applies only to collocation outside
3 the central office, i.e., adjacent collocation. The FCC specifically addresses copper in
4 its collocation Rule 51.323(d)(3). The rule states that “the ILEC shall permit
5 interconnection of copper or coaxial cable if such interconnection is first approved by
6 the state commission.” The rules further state that, in the context of adjacent
7 collocation, “[t]he ILEC must permit the requesting carrier to place its own
8 equipment, including, but not limited to, copper cables, coaxial cables, fiber cables,
9 and telecommunications equipment, in adjacent facilities constructed by the ILEC...”

10
11 **Q. Under what circumstances should an ILEC be required to provide copper**
12 **entrance facilities for a collocation inside a central office?**

13
14 A. Whether or not an ILEC provides copper entrance facilities within the context of a
15 central office collocation should be at the discretion of the ILEC. Sprint considers
16 any inner duct, outside cable duct, cable vault space, as a valuable space resource just
17 as it does floor space. Each request for use of entrance facilities should be considered
18 on a case-by-case basis using similar criteria as floor space use.

19
20 **ISSUE 6A. SHOULD AN ILEC’S PER AMPERE (AMP) RATE FOR THE**
21 **PROVISIONING OF DC POWER TO AN ALEC’S COLLOCATION SPACE**
22 **APPLY TO AMPS USED OR FUSED CAPACITY?**

1 **Q. In Jimmy R. Davis's Direct Testimony at pages 7 and 8, he addresses the cost**
2 **issues associated with the rate for DC power. Are there additional safeguards**
3 **needed to implement the billing structure for DC power?**

4
5 A. Yes. There exists the possibility that greater amounts of DC current may be drawn by
6 an ALEC than what is billed. This is because the ILEC furnishes and bills DC power
7 at a notably lower rate than what is billed. Accordingly, the ILEC should be allowed
8 to reserve the right to perform random inspections to verify the actual power load
9 being drawn by a collocation arrangement. Sprint is familiar with and amenable to
10 adopting the specific or substantially similar portions of Verizon Florida Inc.'s
11 Facilities For Intrastate Access Tariff, section 19.4.2(C) that deals with DC power
12 audits. Sprint was a party in a Pennsylvania proceeding with Verizon which had as an
13 outcome this DC power audit language. Sprint believes that these Ts & Cs are
14 equitable to both parties, i.e. the ILEC and the ALEC.

15

16 **ISSUE 7. SHOULD AN ALEC HAVE THE OPTION OF AN AC POWER FEED**
17 **TO ITS COLLOCATION SPACE?**

18

19 **Q. Under what circumstances does Sprint currently install AC power outlets to**
20 **collocation arrangements?**

21

22 A. In each collocation arrangement AC outlets are provisioned for the ALEC's use in
23 performing testing functions. Testing equipment is AC powered. These AC power

1 outlets are not intended for powering the ALEC's collocated telecommunications
2 equipment since Sprint cannot ensure the quality that it can with the normal DC power
3 feeds that telecommunications equipment requires. Telecommunications equipment
4 used for collocation nearly always, if not always, requires DC power for its operation.
5 If an ALEC decides to use AC power beyond testing purposes they would need to
6 install a stand alone power supply, such as uninterrupted power supply (UPS)
7 equipment. Sprint does not allow these UPS systems to be located in technical floor
8 space areas due to technical/safety issues. UPS devices contain acid that can leak or
9 release harmful fumes into the central office. In addition, the use of UPS devices
10 poses a hazard during emergencies. For example, if there was a fire in a central office
11 with DC powered equipment, the ILEC can disconnect power from all telephone
12 equipment in the central office while firefighters are in the office. However, if some
13 of the ALEC equipment is connected to an UPS device, some of the equipment may
14 still be powered. Firefighters and the ILEC personnel may encounter "live"
15 equipment in an area where all the power is otherwise disconnected.

16
17 **ISSUE 8. WHAT ARE THE RESPONSIBILITIES OF THE ILEC, IF ANY,**
18 **WHEN AN ALEC REQUESTS COLLOCATION SPACE AT A REMOTE**
19 **TERMINAL WHERE SPACE IS NOT AVAILABLE OR SPACE IS NEARING**
20 **EXHAUSTION?**

21
22 **Q. How does Sprint respond to an ALEC request for collocation space at a remote**
23 **terminal where space is not available or is nearing exhaustion?**

1 A. If Sprint owns or controls the property or easement upon which the remote terminal
2 (RT) is collocated, the ALEC has the option of adjacent collocation, which is a form of
3 physical collocation. If space is not available on the property or easement, then the
4 ALEC has the option to establish interconnection between the RT and an equipment
5 location that the ALEC has separately procured. Sprint's practices are consistent with the
6 Commission's decision relating to adjacent collocation at pages 24-26 of the Generic
7 Collocation Order.

8

9 **Q. Does this conclude your testimony?**

10 A. Yes.

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

REBUTTAL TESTIMONY OF

Edward Fox

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Q. Please state your name, your position with Sprint, and your business address.

A. My name is Edward Fox. I am currently employed as Senior Manager – Regulatory Policy for Sprint Corporation. My business address is 6360 Sprint Parkway, Overland Park, Kansas 66251.

Q. Are you the same Edward Fox who previously filed direct testimony in this case?

A. Yes.

Q. What is the purpose of your rebuttal testimony?

A. I am responding to the direct testimony of AT&T witness Jeffrey A. King in a number of key areas. Specifically, my testimony deals with Mr. King’s comments regarding technical and policy issues.

ISSUE 2A. SHOULD AN ALEC BE REQUIRED TO JUSTIFY ITS SPACE RESERVATION NEEDS TO THE ILEC WHEN AN ILEC IS FORCED TO CONSIDER A BUILDING ADDITION TO ACCOMMODATE FUTURE SPACE REQUIREMENTS?

1 **Q. AT&T witness King, p. 6 lines 7-18 of his Direct Testimony, states that the ALEC**
2 **should be allowed the opportunity to verify the ILEC's need of the space. Does the**
3 **ILEC need to justify its space reclamation need to the ALECs?**

4
5 **A.** No. Sprint believes that space justification must be made to the Commission. Sprint
6 believes that it is preferable for the ILEC and any affected ALECs to negotiate between the
7 parties for reclamation of available space. If no agreement can be reached, then the matter
8 should be submitted to the Commission for a decision. If the office is closed to additional
9 collocators or there is an anticipated closing, the ILEC would be following the waiver
10 procedures as described in Orders Nos. PSC-99-1744-PAA-TP and PSC-99-2393-FOF-TP.

11 .

12

13 **ISSUE 2B. UNDER WHAT CONDITIONS SHOULD AN ILEC BE ALLOWED TO**
14 **RECLAIM UNUSED COLLOCATION SPACE?**

15

16 **Q. Mr. King, on page 6 lines 21-23 of his Direct Testimony, suggests that the only time**
17 **that space may be reclaimed is when the CO space is completely exhausted and there**
18 **is an immediate need for deployment of equipment. Should an ILEC be restricted to**
19 **reclaiming space only when the building is completely exhausted and there is an**
20 **immediate need to provide service?**

21 **A.** No. Building additions and renovations require a long planning and construction cycle,
22 which may range from 12 to 24 months before space may be used. An ILEC should be
23 allowed to reclaim unused collocation space when it has been demonstrated to the PUC
24 that space is currently exhausted or is expected to be exhausted in the near future. If space
25 reclamation is limited only to immediate needs, it compromises planning and reduces

1 negotiation options between parties to an urgent status which tends to limit reasonable
2 resolution. This is not a tenable situation for good decision making.

3

4 **ISSUE 2C. WHAT OBLIGATIONS, IF ANY, SHOULD BE PLACED ON THE ALEC**
5 **THAT CONTRACTED FOR THE SPACE?**

6

7 **Q. AT&T's King on page 7, lines 5-7 of his Direct Testimony, states that the ALEC may**
8 **unilaterally decide if their space is efficiently used. Should the ALEC unilaterally**
9 **decide if they should keep unused space?**

10

11 A. No. Sprint believes that each party must justify their space requirements to the
12 Commission if mutual agreement cannot first be reached by the parties. An ILEC is not
13 allowed to house obsolete unused equipment when declaring a building full. Accordingly,
14 an ALEC should not use its collocation space to house obsolete unused equipment either.
15 Florida's Generic Collocation Order DOCKET NO. 990321-TP ORDER NO. PSC-00-
16 0941-FOF-TP ISSUED: May 11, 2000 established 18 months as the proper time for space
17 reservation. If the ALEC has not used its forecasted space within the allowable 18 month
18 period it should be considered available for reclamation. Mr. Gray of BellSouth describes
19 the obligations that the ILEC has to manage its space, i.e. first-in-first out, provide
20 reasonable space allocations, p. 15, 20 – 23, and taking CLEC requirements into account
21 when planning a building addition, p. 17, 21-24. The Fourth Report & Order 98-147 ¶92
22 states the "ILEC must act as a neutral property owner and manager... in assigning
23 physical collocation space."

24

1 **ISSUE 2D. WHAT OBLIGATIONS, IF ANY, SHOULD BE PLACED ON THE ILEC?**

2

3 **Q. Mr. King, on page 7, lines 5-7 and 14-15, of his Direct Testimony, implies that any**
4 **future plans for space use are sufficient for an ALEC to retain its space. Should there**
5 **be a limit on the amount of time for future plans that an ALEC expects to use space?**

6

7 **A. Yes.** Sprint believes that 18 months is appropriate for future use of a functional collocation
8 arrangement and is consistent with the Commission's May 2000 ruling. Sprint believes that
9 six months is appropriate for implementation of functional equipment, i.e. that which is
10 connected to a UNE or interconnected with the ILEC.

11

12 **ISSUE 3. SHOULD AN ALEC HAVE THE OPTION TO TRANSFER ACCEPTED**
13 **COLLOCATION SPACE TO ANOTHER ALEC? IF SO, WHAT ARE THE**
14 **RESPONSIBILITIES OF THE ILEC AND ALECS?**

15 **Q. Mr. King, beginning on page 6, lines 21-23 of his Direct Testimony, states that an**
16 **ALEC should be allowed to transfer accepted collocation space to another ALEC**
17 **whenever its requirements for collocation have changed. Does Sprint agree?**

18

19 **A. No.**

20

21 **Q. Are all space transfer situations the same?**

22

23 **A. No.** Sprint distinguishes between situations where a company buys all or substantially all
24 the assets of another company from situations where two requesting carriers simply

1 transfer space from one to another. BellSouth's witness Mr. Gray, on page 20-24 of his
2 Direct Testimony, described the former scenario in his direct testimony. Sprint generally
3 agrees with this type of transfer of space and the concomitant responsibilities of each party
4 as described by Mr. Gray.

5

6 **Q. Should the ALECs be able to transfer collocation space without ILEC involvement?**

7

8 A. No. In situations where transfer of asset ownership has not occurred as described above,
9 an ALEC is obligated to return the space to the ILEC as described in my direct testimony.

10

11 **ISSUE 4. SHOULD THE ILEC BE REQUIRED TO PROVIDE COPPER ENTRANCE**
12 **FACILITIES WITHIN THE CONTEXT OF A COLLOCATION INSIDE THE**
13 **CENTRAL OFFICE?**

14

15 **Q. Mr. King, on page 8, lines 8 – 13 of his Direct Testimony, states that an ILEC should**
16 **be required to allow ALECs use copper entrance facilities for their collocation**
17 **arrangements? Do you agree?**

18

19 A. No. Both the FCC and the Florida Commission have made rulings on the limited use of
20 copper entrance facilities by collocators as mentioned in my Direct Testimony. The
21 primary considerations are the inefficient use of duct space in the entrance facility and the
22 extra space required on the MDF. AT&T's position ignores the fact that space is often at
23 a premium in central offices and copper takes more space. The ILEC would use fiber if
24 space is tight and ALECs should have to use fiber as well. ILECs are responsible for the

1 management of the central office and should make the decision on whether copper
2 entrance facilities may be used by an ALEC.

3

4 **ISSUE 8. WHAT ARE THE RESPONSIBILITIES OF THE ILEC, IF ANY, WHEN**
5 **AN ALEC REQUESTS COLLOCATION SPACE AT A REMOTE TERMINAL**
6 **WHERE SPACE IS NOT AVAILABLE OR SPACE IS NEARING EXHAUSTION?**

7

8 **Q. Mr. King, beginning on page 11, line 21 through page 12 line 5 of his Direct**
9 **Testimony, describes what he believes to be an ILEC's responsibilities when**
10 **collocation space at a remote terminal is not available. Does an ILEC have an**
11 **obligation for public notification when a premises cannot accommodate physical**
12 **collocation?**

13

14 A. Yes. 47CFR 51.321(h) states, "The incumbent LEC must maintain a publicly available
15 document, posted for viewing on the incumbent LEC's publicly available Internet site,
16 indicating all premises that are full, and must update such a document within ten days of
17 the date at which a premises runs out of physical collocation space." Sprint fully expects
18 to comply with these FCC rules.

19

20 **Q. Is an ILEC required to proactively inventory space?**

21

22 A. No. The above cited rule does not require an ILEC to proactively inventory all of its
23 premises to determine space availability. This would be burdensome and untenable with

1 thousands of network locations involved. Once it is known by an ILEC that a location is
2 full, it is obligated to post that information on the Internet site within 10 days.

3
4 **Q. Is an ILEC required to make public notification of its plan of action for additional**
5 **space, either in a Central Office or in a Remote Terminal?**

6
7 A. No. Sprint will make space information available to an ALEC upon request and for a
8 fee. 47CFR 51.321(h) contemplates this situation. "Upon request, an incumbent LEC
9 must submit to the requesting carrier within ten days of the submission of the request a
10 report describing in detail the space that is available for collocation in a particular
11 incumbent LEC premises. This report must specify the amount of collocation space
12 available at each requested premises, the number of collocators, and any modifications
13 in the use of the space since the last report. This report must also include measures
14 that the incumbent LEC is taking to make additional space available for collocation."

15
16 **Q. Is an ILEC required to make public notification of an expected date of space**
17 **availability?**

18
19 A. Yes. Florida's Generic Collocation Order DOCKET NO. 990321-TP ORDER NO.
20 PSC-00-0941-FOF-TP ISSUED: May 11, 2000 describes ILEC responsibilities when
21 space becomes available. If an ILEC knows of space availability, that information is to
22 be posted on the Internet within 60 days of availability. If this information is not
23 available within 60 days, it must be posted as soon as possible.

24

1 **Q. Does this conclude your testimony?**

2

3 A. Yes.

1 BY MS. MASTERTON:

2 Q Mr. Fox, did you have any exhibits to your testimony?

3 A I do not.

4 Q Have you prepared a summary?

5 A I have.

6 Q Please give your summary now.

7 A Thank you. Thank you, Madam Chairman and
8 Commissioners. I am addressing six issues today, Issues 1A, 3,
9 4, 6A, 7, and 8. And I will have a few comments on each of
10 those.

11 Issue 1A, which deals with when an ALEC should remit
12 payment for NRCs, Sprint believes that 50 percent of the NRC
13 should be submitted at the time the ALEC gives a firm order.
14 This will cover some of the costs that Sprint incurs initially
15 in ordering material, engineering time, power plant
16 configurations, and labor for collocation space construction.

17 To draw an analogy to a vacation, it is no different
18 than a snowbird coming to Florida and making arrangements with
19 their landlord for carpets, painting, and decorations. The
20 landlord incurs expenses to order the material and initiate the
21 desired work, and would normally require a portion of the costs
22 up front. Accordingly, Sprint believes that receipt of a check
23 for 50 percent of the estimated NRCs at the time the order is
24 received from the ALEC.

25 Issue 3 deals with the transfer of space from an ALEC

1 to another collocator. Sprint believes that the FCC
2 collocation rules are very clear that the ILEC has the
3 responsibility to manage its own property when it comes to
4 assigning floor space. In one of the testimonies, one of the
5 ALECs references in full offices they propose a line jumping
6 scenario where they can pick up who will bypass the carriers
7 who have patiently waited for space in a wait list. This
8 supplants the intent of Congress and the FCC that the ILECs are
9 to manage their own building space.

10 It is suggested that there is no difference between
11 acquisition of collocation space by transfer or by sublease.
12 The purpose of shared collo or sublease is to get more ALECs
13 into the market in a shorter time and at a lower cost. The
14 fact that one of the parties may leave and the remaining ones
15 retain the space is a secondary aspect of that shared
16 collocation option. Sprint recommends that the ILEC retain the
17 right to determine space usage in all situations.

18 Issue 4 is dealing with copper entrance facilities
19 and Sprint believes that entrance conduit space is no different
20 than assigned central office floor space; that is, it is a
21 limited resource and its use must be based on legitimate need.
22 If the PSC does decide that the ILECs must allow copper and
23 additional building modifications are required, the requesting
24 ALEC must be responsible for all the costs or at a minimum
25 their portion of the costs.

1 Issue 6A deals with batteries -- power, rather.
2 Sprint supports the practice of billing for usage that is
3 ordered. The amount that is ordered should equal the
4 equipment's List 1 drain value which should also be the amount
5 that is billed. This will guard against the situations where
6 the ILEC provisions a large quantity of power capacity based
7 upon what the ALEC orders then finds that much of it is
8 stranded investment when the ALEC's actual use is much, much
9 lower.

10 Issue 7 deals with AC power feeds. The AC outlet is
11 intended to be used for testing only, and Sprint does not
12 contemplate this service to be used for powering of
13 telecommunications equipment. One of the ALECs expects to use
14 this cheaper electricity to power its collocated equipment, but
15 in doing so there is a need by them to install additional power
16 equipment devices, such as inverters or UPS systems. Sprint
17 does not allow UPS systems in its offices for safety
18 considerations. If the PSC does allow AC to power equipment,
19 Sprint would need to develop a separate rate element for use of
20 AC power for equipment powering.

21 And the last issue, Issue 8 deals with collocation
22 space at remote terminals. Sprint believes that an ILEC has
23 the same obligations for space assignment and reporting for
24 remote terminals as it has for central office collocations.
25 Sprint evaluates an application for remote terminal collocation

1 using the same space, power, and environmental variables in
2 both collocation scenarios. If Sprint determines that space is
3 at exhaust, then it will publish that information on its
4 website. The FCC is very clear on what report obligations
5 ILECs have for its central offices. Thank you.

6 CHAIRMAN JABER: Thank you, Mr. Fox.

7 MS. MASTERTON: The witness is available for cross
8 examination.

9 CHAIRMAN JABER: Mr. Feil.

10 MR. FEIL: No questions.

11 CHAIRMAN JABER: Mr. Watkins.

12 CROSS EXAMINATION

13 BY MR. WATKINS:

14 Q Good afternoon, Mr. Fox. My name is Gene Watkins. I
15 am with Covad Communications. Sprint has kind of a unique role
16 here as both an ILEC and a CLEC, isn't that right?

17 A That is correct.

18 Q Before I get to that, I wanted to clarify one. The
19 redirect question Mr. Milner was last asked was does there have
20 to be a copper entrance facility for DSL to be provisioned, and
21 his answer was no. Do you know how that is?

22 A I was ready for an explanation on that. It depends
23 on where your DSLAMs are located.

24 Q So if I do a fiber-fed remote terminal and put my
25 DSLAM out there where no CLEC is ever asked to go, that would

1 be one way for there to be no copper entrance facility, but DSL
2 still being served, isn't that right? By BellSouth, but no
3 other competitor, right?

4 A Could you describe that again, please. I'm trying to
5 understand that.

6 Q If I have a fiber run out to the remote terminal and
7 a DSLAM in that remote terminal, then BellSouth can serve DSL
8 over a fiber entrance facility, but a competitor without a
9 copper entrance facility cannot do the same thing, isn't that
10 right?

11 A Well, if BellSouth's DSLAM is located at the remote
12 terminal, it wouldn't be served over a fiber facility, per se,
13 because it would be copper connecting between the DSLAM and the
14 end user. But I am familiar a little bit with Project Pronto
15 that another ILEC has, and that there is a way to serve it
16 over, the DSL over fiber, but I am not a technical person, I
17 really can't describe how that happens.

18 Q Well, for a competitor to serve over that fiber it
19 has to be unbundled. The only places competitors are doing
20 that is where the state commission has unbundled it for those
21 people.

22 A That seems to be the case.

23 Q Not through remote terminal collocation in the
24 traditional sense, right?

25 A Right. Technically you can do it there, but

1 economically it is difficult to justify that.

2 Q Well, difficult or impossible?

3 A Well, it depends on when your payback expectations
4 are, if they are 20 years or 20 months.

5 Q Indeed. In fact, Sprint has tried remote terminal
6 collocation as a kind of -- what do you call it, proof of
7 concept?

8 A Right.

9 Q You tried that in Overland Park, Kansas, didn't you?

10 A Yes.

11 Q Do you recall what it cost Sprint to set up one
12 remote terminal? Don't even count the monthly recurring fees
13 and the transport, just to get the rights-of-way, to get the
14 equipment in, to pay everybody, to deal with all the community
15 uproar over putting the stone over your box, all of those
16 things, what did that cost you, do you recall?

17 A Well, I'm not sure if I know exactly. I wasn't
18 involved with that project and I know it was several years ago,
19 but it seems like a figure of 80 to \$100,000 might have been --

20 Q Would \$134,000 sound correct?

21 A Yes, I think so. I think we did an ex parte on that.

22 Q Do you recall what the time to market was for that
23 remote terminal collocation?

24 A No, I don't.

25 Q Would a year and a half sound right?

1 A It could be.

2 Q So for a competitor -- if those numbers actually
3 applied to a remote terminal collocation, and that is purely a
4 hypothetical, I understand, but if we were going to do the math
5 on that, and let's assume just the BellSouth number that we are
6 familiar with, which is 3,596 remote terminals, it would be
7 about \$481 million to do remote terminal collocation on par
8 with what BellSouth currently has as remote terminal
9 collocation. Does that sound about right?

10 A I suppose.

11 Q Does Sprint oppose metering if the CLEC does the
12 mathematics and decides that it is economically feasible for
13 the CLEC?

14 A Sprint's concern with metering for power is the gap
15 between what is actually ordered and what is actually used and
16 billed. For example, if you were to order a 100-amp capability
17 and only use 10, we would have a huge stranded investment. So
18 if it were an issue of being required to do metering, Sprint
19 would hope that there would be some kind of a limit on the gap
20 between what was actually used and/or billed versus what was
21 ordered. That is where our concern is is the stranded
22 investment.

23 CHAIRMAN JABER: What kind of guidance would you give
24 us in establishing what that limit might be? I mean, as a
25 decision-maker it seems to me that the carriers are in the best

1 position to give us that information. Again, as Mr. Watkins
2 said, if the CLECs have done the math and they are willing to
3 pay for the cost of metering and you are willing to provide a
4 meter as long as they reimburse you for the cost, what might
5 that cap be and what is it you need as parameters from this
6 Commission for taking this forward?

7 THE WITNESS: That is a good question. I'm not
8 prepared to offer a percentage. But, you know, maybe if it is
9 30 percent or 20 percent above, I really don't know that
10 number, but it's some kind of a ceiling that should exist. I
11 can tell you the concept, but I haven't worked with our costing
12 people yet to come up with a number. We are not in a position
13 to propose that, but that is the concept we are going to
14 follow. Sorry.

15 MR. WATKINS: Did you have anything else?

16 CHAIRMAN JABER: No.

17 BY MR. WATKINS:

18 Q Mr. Fox, when you say you are going to have a
19 stranded investment if we go to metering, are you saying
20 that -- where is that investment going to get stranded?

21 A I would have to defer to my peer, Jimmy Davis, who is
22 the cost witness for Sprint on that one. He is qualified to
23 speak to that.

24 Q Were you here for Mr. Milner's testimony?

25 A Yes.

1 Q Whether you bill by fused amps and divide down to get
2 to actual requested amps, or you do the load charge that Sprint
3 is proposing here, which is really requested amps, as well,
4 right?

5 A That is correct, where requested and used are going
6 to be substantially the same.

7 Q Well, that is where the assumption starts falling
8 apart, isn't it? If you are properly building your network,
9 you ask for more than you are currently using in anticipation
10 of there being increased demand down the road, right?

11 A Right. And the issue is how much more do you ask for
12 versus what you use.

13 Q Right. And are you saying that there might be
14 stranded investment if the rate stays the same and we pay for
15 what we use, you miss out on that overcharge?

16 A Again, I would have to defer to Jimmy Davis. He
17 understands the costing dimensions much better than I do.

18 Q I will save those questions for Mr. Davis.

19 A Thank you. He is ready.

20 Q I have one other thing I wanted to talk to you about.
21 You would agree with Mr. Milner that five amp increments is
22 feasible in terms of the equipment is there and the battery
23 distribution -- what do you call it? Let's just call it the
24 BDFB is capable of taking a 5-amp increment fuse, right?

25 A I'm not sure. I'm not technical. But our interest

1 is in billing for what you order, so if you order five amps
2 more, we will bill five amps more or less, whatever you ask
3 for.

4 MR. WATKINS: That's all I have.

5 CHAIRMAN JABER: Mr. Hatch or Mr. Self.

6 MR. SELF: Thank you, Madam Chairman.

7 CROSS EXAMINATION

8 BY MR. SELF:

9 Q Mr. Fox, I am Floyd Self representing AT&T. Good
10 afternoon.

11 A Good afternoon.

12 Q I guess I will start where we left off talking about
13 Issue 6A, and I'm trying to understand your testimony when you
14 state that the most feasible method of billing for DC power
15 consumption is to bill based on the amount of power the ALEC
16 declares on its application. And then you go on to say that
17 this equates to the amps used. Have I stated that correctly?

18 A I'm just looking at my testimony here. Are you
19 talking about the direct?

20 MS. MASTERTON: Could you tell Mr. Fox where in his
21 testimony you are referring to?

22 MR. SELF: Well, actually I read that off the
23 prehearing order on Page 26 for the Sprint position.

24 MS. MASTERTON: I'm thinking you might be referring
25 to Mr. Davis' testimony as opposed to Mr. Fox.

1 MR. SELF: So that is more appropriate for Mr. Davis?

2 THE WITNESS: Yes.

3 MR. SELF: Okay.

4 CHAIRMAN JABER: Ms. Masterton, that is a billing
5 question. Do you need to hear the question again and let's
6 make sure, because I would hate to get to Mr. Davis and have
7 him refer it back to Mr. Fox. So why don't we --

8 MS. MASTERTON: Well, my point was if Mr. Self can't
9 show Mr. Fox where he is talking about in his testimony, it is
10 going to be difficult for Mr. Fox to respond.

11 CHAIRMAN JABER: I understand your point, but let me
12 hear the question one more time.

13 MR. SELF: Yes. And I was simply looking to
14 understand how if they are billing for the power that the ALEC
15 declares on its application, how that equates to billing on the
16 basis of the amps used.

17 CHAIRMAN JABER: Ms. Masterton, is that a question
18 that your witness can answer without being referred to
19 testimony?

20 MS. MASTERTON: Mr. Fox, do you think that is
21 something Mr. Davis would more appropriately --

22 THE WITNESS: I will try to answer it. And if I
23 don't, then -- what we are looking at in Issue 6A is should an
24 ALEC's per amp rate for provisioning of DC power to an ALEC's
25 collocation space apply to amps used or fused. Okay. And

1 Sprint does not think billing on a fused basis is equitable.
2 We think what you order and ask for is what you are going to
3 expect to use and we will bill you for that. So to answer your
4 question, what you order is what we anticipate you would be
5 using and that would be what we would bill.

6 Q Is that usually what happens?

7 A I don't know. We don't have meters on it. But
8 listening to discussion earlier today, typically there are
9 cases where people do use less than what is ordered. In that
10 case, Sprint is willing to bill you for what you use as long as
11 we have the right to audit that.

12 Q Okay. That's helpful, and I appreciate that. Thank
13 you.

14 A Okay.

15 Q I would now like to look at Issue 1A, and talk with
16 you a little bit about your 50/50 split. What is the basis for
17 your 50/50 split?

18 A Well, as I mentioned in my testimony summary, there
19 are expenses that we incur from day one once we receive a firm
20 order from a collocator, a requesting collocator, then we
21 immediately order material, we start to do network and space
22 design. Sprint does, you know, construction. We have a lot of
23 engineering, so we do have some direct costs from day one that
24 we want to make sure that we get covered. And the other half
25 is billed upon space acceptance.

1 Q All right. But the 50/50 split, that is just an
2 arbitrary number that you picked?

3 A That probably is based on some history that we have
4 that we know we have some direct expenses up front.

5 Q But you don't know -- excuse me. Your testimony is
6 not that you know exactly what that split is, based upon
7 experience?

8 A No, it is not my testimony.

9 Q Okay. I would like to turn to Issue 3, the
10 transfers, and ask you a few questions about that. First off,
11 if a central office is not in an exhaust situation, a CLEC is
12 not going to be able to reasonably speculate on the collocation
13 space, correct?

14 A Are you referring to the law of supply and demand?

15 Q (Indicating yes.)

16 A I would agree.

17 Q Okay. Indeed, wouldn't the CLEC that is in a
18 collocated space be able to speculate only if it had excess
19 space available?

20 A I don't know. It depends on what -- in reference to
21 my last question, I can only -- you know, assuming that a CLEC
22 can get the same amount of space directly through Sprint at the
23 same price that AT&T would give them, I don't know why they
24 would speculate.

25 Q Okay. Do you have any evidence that there are CLECs

1 that are stockpiling collocation space?

2 A What do you mean by stockpiling?

3 Q Well, I mean, asking for more space than they would
4 reasonably project that they are going to need in order to
5 potentially, if the office exhausts, be able to offer that to
6 other CLECs?

7 A I can't say that Sprint knows of people that are
8 speculating. What we do know is what is on their application
9 and what we provision and then what is actually used. And we
10 do know that there are a number of collocators, and I can't
11 give you examples right now, that are highly underutilized in
12 their space, and so we think for some reason they are paying
13 for a lot more than they are using.

14 Q Could current economic and business conditions
15 account for some of that underutilization?

16 A Sure.

17 Q Just to be clear, do you have any evidence that there
18 are CLECs engaging in collocation speculation?

19 A I am not aware of any at the present time.

20 Q Okay. I want to turn to the first-come/first-serve
21 rule for a moment. If the central office is not in an exhaust
22 situation, then in a transfer situation there really is not a
23 first-come/first-serve problem, is there?

24 A The issue on transfers Sprint sees as the
25 responsibility that we have to manage the collocation space.

1 And so by a transfer, Sprint needs to be involved with that
2 transaction, not just to rubber stamp something that an ALEC
3 wants to pass space off to somebody, but as a responsible
4 property owner to ensure that there is no other requirements.
5 Even though there may not be a full office, there may be some
6 changes, there might be a relationship that we have with the
7 potential incoming CLEC that they may owe us quite a balance
8 based on our history with them, and before we do any subsequent
9 business they have to make that whole. So, that's why Sprint
10 is interested even in nonfull-site offices and being involved
11 in that.

12 And I think in your testimony, or in AT&T's testimony
13 they suggested that there is an application that goes to the
14 ILEC in a transfer, and I think that is appropriate in letting
15 us know what is going on. And by virtue of it being an
16 application, it gives Sprint the authority to deny it, or
17 question it, or postpone it, or be involved with that.

18 CHAIRMAN JABER: You don't have a similar
19 application?

20 THE WITNESS: Right now it is treated like a new
21 installation or a new person coming in because we don't
22 contemplate people trading spaces like that.

23 CHAIRMAN JABER: What are the kinds of things you
24 need to be aware of? I understand your point with regard to
25 you need to know who is in your space, you need to know what

1 your ongoing business relationship would be with the new CLEC.
2 I understand all of that. I understand that you might want to
3 know whether there is an outstanding balance on their account,
4 if you have got, you know, a prior relationship. Is there
5 anything else?

6 THE WITNESS: There could be some additional space
7 demands that have come in that may not be on the full-site
8 list, but there might be some other upcoming things that we
9 know are going to dictate space either on Sprint's behalf or
10 other collocators that perhaps an existing collocator was
11 thinking of trading their space with somebody may not be aware
12 of at all, and they wouldn't be aware of at all.

13 CHAIRMAN JABER: And your concerns are not to say
14 that the transfer should not take place or that you really need
15 to have direct involvement with the transfer, your position is
16 you need an avenue or a mechanism to have answers to those
17 questions?

18 THE WITNESS: Right. We need to be involved with
19 what is going on with the space in our office. And in the case
20 where there is no demand for space, no wait list, it is not
21 closed, very likely we would not withhold any approval of that.

22 CHAIRMAN JABER: And at what point do you need that
23 information and through what mechanism would you propose to
24 obtain the information?

25 THE WITNESS: The proposed -- well, what is in AT&T's

1 testimony I think is appropriate, that the incoming ALEC would
2 give an application to the ILEC and let them know what the
3 intent is, or it could be from the existing collocated, not
4 necessarily the new one coming in. But either party would send
5 an application describing what is going on.

6 CHAIRMAN JABER: Mr. Self.

7 MR. SELF: Thank you.

8 COMMISSIONER DAVIDSON: I've actually got a follow-up
9 to the Chairman's question, and I have the same concern. And
10 what the Chairman just elicited from you differs somewhat from
11 your testimony. In your testimony at Page 14 you state that,
12 in response to the question, "Should an ALEC have the option to
13 transfer its collocation space to another ALEC if an office is
14 not full and there is no waiting list for space?"

15 You start off, "No. If there is no waiting list, the
16 ALEC should still relinquish to the ILEC any space it is not
17 going to use." Your answer in response to the Chairman's
18 question was a bit more flexible. It was that, no, we just
19 want to be involved in the process. And my question is if the
20 ILEC is in a situation of no exhaust of collocation space,
21 would Sprint agree with the general proposition that a CLEC
22 could transfer its collocation to another CLEC subject to the
23 ILEC's approval, and that such approval would not be
24 unreasonably withheld. For example, it would not be withheld
25 arbitrarily. There would have to be some type, however it is

1 measured, some type of valid business purpose. Would you agree
2 with the CLEC having that type of right?

3 THE WITNESS: Yes, Sprint could agree with that.

4 COMMISSIONER DAVIDSON: Thank you.

5 CHAIRMAN JABER: And certainly I want to give you the
6 opportunity to tell us what other information you would need,
7 because my hope is that this proceeding is resolved and we
8 never really have to look at these issues again in arbitration.
9 So this is your opportunity. What is it you need from us in
10 this decision to allow you to obtain the information that would
11 address your concerns?

12 THE WITNESS: Thank you. In a nonfull-site office,
13 we would need information, essentially the same as a new
14 application. You know, that type of information. What
15 equipment is going to be in there, and power requirements, HVAC
16 requirements, the whole detail of all the categories. So that
17 is the type of information we would want on the application
18 that is coming our way.

19 CHAIRMAN JABER: And let's say -- this is worst-case
20 scenario, but I'm trying to just put it all out on the table.
21 Let's say it is a CLEC that does not have a good payment
22 history with Sprint. What might you need to address that
23 concern?

24 THE WITNESS: Well, we would address that certainly
25 individually. If we have any other agreement with them, you

1 know, we would certainly enforce that. If we couldn't do any
2 subsequent business with them until we were made whole, you
3 know, something along that nature.

4 CHAIRMAN JABER: So, again, it wouldn't be that you
5 would necessarily object or have a problem with the transfer,
6 you would just need that outstanding balance or future balances
7 to be addressed?

8 THE WITNESS: That is correct.

9 CHAIRMAN JABER: Mr. Self.

10 BY MR. SELF:

11 Q And, in essence, those are more relationship
12 managerial type concerns as opposed to just a flat out
13 prohibition to transfer, correct?

14 A In that scenario that is correct. We are okay with
15 transfers as long as we, again, have involvement in it. And as
16 Commissioner Davidson stated --

17 Q Okay. And in connection you mentioned, I believe, in
18 response to Chairman Jaber that the application would be in the
19 nature or similar to an original collocation application in
20 terms of the type of information that you need from the new
21 CLEC?

22 A That is correct.

23 Q Okay. If you were -- I know this is kind of coming
24 to you on the fly here, but would the charge for that kind of
25 transfer application -- it should be less than an original

1 application because the kind of work that you have to do in a
2 transfer situation would be different than what would be
3 required for an original application, wouldn't it?

4 A Possibly. Again, I haven't talked to our costing
5 people, but I could think of scenarios where it could be more
6 or it could be less. If they are keeping the same equipment,
7 we know that the HVAC and power is appropriate, so we would
8 have to do some different things, maybe not as detailed, but we
9 still would incur some costs.

10 Q Well, certainly the new CLEC that is receiving the
11 transfer, if they weren't asking for any new construction or
12 changes in the space or their requirements you already know the
13 existing demands for the space, correct?

14 A That is correct.

15 Q Okay. I want to turn now to the copper entrance
16 facilities, Issue 4. And I will ask you the last question
17 first. Is it your testimony that copper entrance facilities
18 should or should not be allowed?

19 A Sprint believes that they should be allowed, but that
20 the ILEC has to evaluate each of those requests on its own
21 merits.

22 Q Okay. The word I believe you used in your testimony
23 was that it was up to the ILEC's discretion?

24 A Right.

25 Q What does that discretion mean?

1 A Basically it is a space issue, and we treat that just
2 like floor space, although there is typically not air
3 conditioning that is involved and all of that, but maybe some
4 power. Typically not even power. But there is not only
5 conduit space to be considered, but also main frame space where
6 it would be terminated. So you could have plenty of conduit
7 space and be out of main frame and we couldn't accomplish a
8 particular request. But to answer your question, we are okay
9 with copper entrance, but we evaluate that on a case-by-case
10 basis.

11 Q And basically the sort of bottom line in that
12 evaluation of the case-by-case basis is going to be taking all
13 the factors into consideration, the conduit, what is it like
14 inside the central office, correct?

15 A That is correct.

16 Q So the discretion wouldn't be arbitrary, would it?

17 A I'm not sure what you mean. No, we would base it on
18 some objective evaluation.

19 Q Reasonable under the circumstances for what is
20 actually at that central office?

21 A That is correct.

22 Q Okay. I would like to jump to Issue 7.

23 COMMISSIONER DAVIDSON: Chairman, before we jump, I
24 have a question on this Issue 4. I'm sorry to interrupt, but I
25 would like to just follow-up while we are on this issue.

1 You said that Sprint would be okay with the notion of
2 copper entrance facilities. Does Sprint understand that there
3 is -- and by the use of the word understand, I don't mean to
4 imply that there is, and that statement doesn't mean to imply
5 that there is not. But does Sprint understand that there is
6 some obligation under the law to provide that, or is Sprint
7 okay with this as a matter of business practice?

8 THE WITNESS: A good clarification. It is a business
9 practice issue. There are applications, business applications
10 where copper is the only option that someone can use for
11 entrance into a central office. For example, Sprint's local
12 division has cases where a CLEC or an ALEC has its own central
13 office just a few hundred feet away from our central office,
14 and their DSLAMs are located in their building, and so they
15 will go to our -- connect to our loops through copper entrance
16 facilities and do basically a virtual collocation on the
17 mainframe, pick up our loops.

18 And in those cases, we have several like that where
19 the CLEC has required the copper entrance facilities. In some
20 cases we have had to build separate facilities between their
21 place and ours and separate entrance, but the cost was passed
22 on to them and they were amenable to paying that.

23 BY MR. SELF:

24 Q I hate to do this, but let me follow-up on the
25 Commissioner's question. You said in your testimony on Page

1 16, your direct testimony, that the FCC in its rule addressed
2 this and basically stated that the FCC rule states the ILEC
3 shall permit interconnection of copper or coaxial cable if such
4 interconnection is first approved by the state commission.

5 To follow-up on Commissioner Davidson's question, I
6 believe you responded that it was a business issue. Certainly
7 if this Commission orders the ILECs to provide copper entrance
8 facilities, that would address that issue in the rule, correct?

9 A Uh-huh, yes.

10 Q Okay. Now I would like to go to Issue 7, the AC
11 power feed. And I wish I had the transcript, because I think
12 Commissioner Davidson asked this question better than I had
13 written it out, but I will take a stab at it. If a CLEC wants
14 to place equipment that uses AC power, and the equipment that
15 it is going to place in its collocation space meets all of the
16 applicable electric code requirements, building requirements,
17 whatever other local or governmental regulations would exist
18 for that equipment, aren't your concerns met in terms of the
19 placement of that AC equipment?

20 A That is correct, yes. We are concerned about safety,
21 and then also the quality of the electrical circuit for AC.
22 Right now we don't contemplate that powering equipment, so we
23 may need to provision a better quality AC type circuit in some
24 cases.

25 COMMISSIONER DEASON: Let me follow-up on that for

1 just a moment. Is there still a need for some type of
2 redundant power source, and where would that come from?

3 THE WITNESS: I don't know for sure. I would have to
4 talk to some engineering people, but we think -- the reason I
5 mentioned that we would have to provision different quality of
6 AC power, it may be because we would have to include some
7 redundancy that is not there today just for a maintenance
8 outlet.

9 BY MR. SELF:

10 Q Certainly if the CLEC did not need or want the
11 redundancy and that was a risk it was willing to take in a
12 power outage, then that would be okay from Sprint's standpoint?

13 A Certainly.

14 Q All right. I want to turn last to the remote
15 terminals question, Issue 8. Is it Sprint's position that if
16 there is space available in the remote terminal that the CLEC
17 --

18 COMMISSIONER DEASON: Mr. Self, I'm sorry, I need to
19 follow-up with your last question about willing to take the
20 risk. And maybe I just don't understand the engineering
21 mechanics and that sort of thing. If there is an AC power
22 outage, does that affect 911 service for ALEC customers if they
23 do not have a redundant power source and they are relying upon
24 AC as the primary power source?

25 THE WITNESS: If their AC circuit is part of the

1 generator backup in that particular office, then their
2 customers would have 911 service as long as that generator was
3 running.

4 COMMISSIONER DEASON: I'm sorry, could you repeat
5 that?

6 THE WITNESS: As long as that generator was running
7 and if the AC circuit was backed up by that particular
8 generator, we --

9 COMMISSIONER DEASON: Who would provide that
10 generator as a backup?

11 THE WITNESS: That would be the ILEC, just a part of
12 their power plant.

13 COMMISSIONER DEASON: So that would constitute a
14 redundant power source, would it not?

15 THE WITNESS: It would be a form of one, yes.

16 BY MR. SELF:

17 Q And, Mr. Fox, just to follow-up on that. The kinds
18 of equipment that a CLEC may be placing in a central office
19 utilizing AC power would not necessarily be POT service, it
20 could be data service, for example?

21 A As long as that equipment met what the FCC required
22 that was necessary to access UNEs or interexchange traffic,
23 that is what we would permit to be collocated.

24 COMMISSIONER DAVIDSON: And, Chairman, one follow-up
25 to Commissioner Deason's question before we move off of Issue

1 7. At Page 30 of the prehearing statement as to Issue 7,
2 "Should an ALEC have the option of an AC power feed to its
3 collocation space," Sprint's position is set forth as an ALEC
4 should be allowed to use AC power only for equipment testing
5 purposes. That position would be modified by what you have
6 stated here today, that Sprint would have no objection to
7 providing AC power within the hypothetical asked earlier of
8 BellSouth and just now of you.

9 THE WITNESS: That is correct.

10 COMMISSIONER DAVIDSON: Thank you.

11 MR. SELF: Thank you, Commissioners.

12 BY MR. SELF:

13 Q All right. Let's take a shot at Issue 8 again and
14 remote terminals. Is it Sprint's position that if there is
15 space available inside the remote terminal that the CLEC must
16 nevertheless use adjacent collocation, or may the CLEC place
17 its equipment in the cabinet if there is space?

18 A If there is space that allows the CLEC to collocate
19 its equipment in the cabinet.

20 MR. SELF: That's all I had, Madam Chairman. Thank
21 you, Mr. Fox.

22 MS. KEATING: Staff has no questions.

23 CHAIRMAN JABER: Commissioners? Redirect, Ms.
24 Masterton.

25 MS. MASTERTON: No redirect.

1 CHAIRMAN JABER: Thank you. Thank you, Mr. Fox, for
2 your testimony.

3 THE WITNESS: Thank you.

4 CHAIRMAN JABER: And you may be excused. Ms.
5 Masterton, your next witness, Jimmy R. Davis.

6 Mr. Davis, while you set up we are going to take just
7 a ten-minute break and then we will get started.

8 (Off the record.)

9 CHAIRMAN JABER: Okay. Let's get back on the record.
10 Ms. Masterton.

11 - - - - -

12 JIMMY R. DAVIS

13 was called as a witness on behalf of Sprint-Florida,
14 Incorporated and, having been duly sworn, testified as follows:

15 DIRECT EXAMINATION

16 BY MS. MASTERTON:

17 Q Mr. Davis, could you please state your full name and
18 address for the record?

19 A My name is Jimmy R. Davis. My address is 6450 Sprint
20 Parkway, Overland Park, Kansas 66251.

21 Q And by whom are you employed and in what capacity?

22 A I am employed by Sprint. I am a Senior Manager of
23 Network Costing.

24 Q Are you the same Jimmy Davis who filed direct
25 testimony in this docket on December 19th, 2002 consisting of

1 11 pages?

2 A Yes, I am.

3 Q Do you have any changes to that testimony?

4 A Yes, I have one. Page 7, starting with Line 5, the
5 phrase "is to be drawn" should read "could be drawn." And then
6 on the next line, Line 6, the phrase "is to be held," should
7 read "would be held."

8 Q So, Mr. Davis, if I were to ask you these questions
9 today with the changes that you have indicated, would your
10 answers be the same?

11 A Yes.

12 MS. MASTERTON: Madam Chairman, I move that Mr.
13 Davis' direct testimony be inserted into the record as though
14 read.

15 CHAIRMAN JABER: The prefiled direct testimony of
16 Jimmy R. Davis shall inserted into the record as though read.

17 BY MS. MASTERTON:

18 Q Are you the same Jimmy Davis who filed rebuttal
19 testimony on January 21st, 2002 consisting of 12 pages?

20 A Yes.

21 Q Do you have any changes to that testimony?

22 A I have one on Page 4, Line 8, the words "application
23 NRC should actually be paid," should read NRCs plural should be
24 actually paid. Strike the word application, add an "s" to NRC.

25 Q So if I were to ask you these questions today with

1 the changes that you have indicated, would your answers be the
2 same?

3 A Yes.

4 MS. MASTERTON: Madam Chairman, I would like to move
5 that Mr. Davis' rebuttal testimony be inserted into the record.

6 CHAIRMAN JABER: Prefiled rebuttal testimony of Jimmy
7 R. Davis shall be inserted into the record as though read.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION

DIRECT TESTIMONY OF

Jimmy R. Davis

1 **Q. Please state your name, place of employment, position and business address.**

2

3 A. My name is Jimmy R. Davis. I am employed by Sprint/United Management
4 Company as a Senior Manager – Network Costing at 6450 Sprint Parkway,
5 Overland Park, Kansas 66251. I am testifying on behalf of Sprint – Florida,
6 Incorporated and Sprint Communications Limited Partnership (hereafter referred
7 to as “Sprint” or the “Company”).

8

9 **Q. What is your educational background?**

10

11 A. In 1979, I received a Bachelor of Science Degree in Civil Engineering from North
12 Carolina State University in Raleigh, North Carolina. In 1990, I received a
13 Master of Business Administration Degree from East Carolina University, in
14 Greenville, North Carolina. I have also received telephony related continuing
15 education through company sponsored technical training in Planning, Network,
16 and Field Operations.

17

18 **Q. What is your work experience?**

19

20 A. In 1979, I began my career with Sprint – Carolina Telephone as a Project
21 Engineer in the Building Engineering section of Network. After a two-year tour

1 in Building Engineering, I transferred to the Network Planning Department of
2 Sprint – Carolina Telephone in Tarboro, North Carolina where I had
3 responsibility for that Company’s Capital Recovery Program. There my job
4 functions involved statistically based mortality studies of telephone physical
5 property, depreciation expense budgeting, property valuations, and cost studies
6 including capital planning. From 1989 to 1993, I served as Sprint-Carolina
7 Telephone’s Technical Training Manager where I had responsibility for providing
8 network related technical skills training to that Company’s craft and lower level
9 management employees. After a two-year assignment in the Corporate Training
10 Organization, I was assigned, in 1995, to a Customer Services Manager Position
11 in Jacksonville, North Carolina. There I was responsible for the turn up and
12 maintenance of Network and Outside Plant for approximately 115,000 access
13 lines. I was also responsible for installation and maintenance of residential and
14 small business services including high-speed data (special) services. In 1998, I
15 transferred to Kansas City where I continued to work in the Customer Services
16 Organization spending the majority of that time as a Standards and Process
17 Manager responsible for the Sprint Local Telephone Division’s National Standard
18 Methods and Procedures for Outside Plant Construction and Maintenance
19 Operations. I then transferred to my current position in June of 2001 where I am
20 responsible for network costing of both non-recurring and recurring charges for
21 collocation as well as costing for non-recurring charges for connections to
22 Sprint’s network.

23

24 **Q. What is the purpose of your testimony in this proceeding?**

1

2 A. The purpose of my testimony is to address in part technical issue 1C along with
3 technical issues 5 and 6 (A, B, and C) as identified on Attachment A of the
4 Commission's Procedural Order dated November 4, 2002. Mr. Edward Fox will
5 address technical issues 1A through 4 (also including 1C), 7 and 8 in his Direct
6 Testimony also filed today.

7

8 **Q. Have you previously testified before a state regulatory commission?**

9

10 A. Yes. I have testified in Florida associated with UNE Docket 990649-TP. I have
11 also testified in the state of Missouri.

12

13 **Q. Does Sprint operate as an ALEC as well as an ILEC?**

14

15 A. Yes. As discussed on page 2 of Sprint witness Edward Fox's Direct Testimony,
16 Sprint operates as both an ALEC and an ILEC in the state of Florida.

17

18 **ISSUE 1C. WHAT CANCELLATION CHARGES SHOULD APPLY IF AN ALEC**
19 **CANCELS ITS REQUEST FOR COLLOCATION SPACE?**

20

21 **Q. How does Sprint distinguish between cancellation of a request for collocation**
22 **space verses the decommissioning of a collocation space?**

23

1 A. As explained by Sprint witness Edward Fox in his Direct Testimony on pages 5
2 and 6, cancellation of a “request” for collocation space could occur prior to the
3 completion and acceptance of the space while decommissioning would be
4 involved if the space has been completed and accepted. Please refer to Mr. Fox’s
5 Direct Testimony on page 5 for comments on applicable charges when a
6 collocation request is cancelled.

7
8 **Q. When an ALEC decommissions its collocation space, what charges should**
9 **apply?**

10
11 A. To decommission a previously completed and accepted collocation space, the
12 ALEC should submit a new application requesting the decommissioning along
13 with remittance for the appropriate application and project management fees.

14
15 **Q. Please provide examples of the activities covered by these fees.**

16
17 A. Along with processing the application itself, these fees cover activities like:
18 engineering work associated with discontinuing DC power and cross connects
19 serving the collocation space, work associated with updating records which
20 represent the current use of space, work associated with updating records and
21 documentation used to communicate the availability of collocation space,
22 updating billing systems, and coordination with the ALEC on the removal of their
23 equipment.

24

1 **ISSUE 5. SHOULD AN ILEC BE REQUIRED TO OFFER, AT A MINIMUM,**
2 **POWER IN STANDARDIZED INCREMENTS? IF SO, WHAT SHOULD THE**
3 **STANDARDIZED POWER INCREMENTS BE?**

4
5 **Q. How is DC power sold to an ALEC for collocation?**

6
7 A. There are two components to DC Power. Power consumption is the amount of
8 DC Power, measured in amps, used on a monthly basis. DC power cable
9 connections involve the placement and maintenance of cabling required to deliver
10 DC power to an ALEC's collocation space.

11
12 **Q. Should an ILEC be required to offer DC Power consumption in standardized**
13 **increments?**

14
15 A. No. ILECs should offer DC Power consumption on a load amp basis in single
16 amp increments in an amount equal to what an ALEC needs/orders. Sprint uses
17 "load amp" to refer to the specific power needs of the equipment using the DC
18 power.

19
20 **Q. How does load amp differ from fused amp?**

21
22 A. While load amp refers to the power needs of equipment, fused amp refers to the
23 "fused" capacity of the DC power cable connection which feeds DC power from
24 the ILEC DC power generation equipment to the ALEC's equipment.

1

2 **Q. How does Sprint size and fuse DC power cable connections?**

3

4 A. Sprint sizes DC power cable based on the load amps ordered by the ALEC. DC
5 power fuses, which come in standard sizes, are added for safety reasons. Fuse
6 sizes exceed the amps ordered by a factor of 1.25 to 1.33.

7

8 **Q. What size increments should be used for DC power cable connections?**

9

10 A. Through actual cost analysis of material and labor, Sprint has found that DC
11 power connection charges can fairly and reasonably be offered in standard
12 increments. Sprint offers DC power cable connections for fuse sizes of 30 amps
13 and below, for fuse sizes between 35 and 60 amps, for fuse sizes between 70 and
14 100 amps, and for fuse sizes between 125 and 200 amps.

15

16 **Q. What is redundancy as it relates to DC power cable connections?**

17

18 A. Redundancy refers to the fact that there are two leads (A and B) installed to
19 provide DC power to telephone equipment. Each of the two leads is sized to carry
20 the full load of DC power needed by the equipment it serves. That way, if one
21 lead should fail, the other lead can carry the full load and keep the equipment
22 fully powered.

23

1 **Q. Does Sprint offer redundancy as part of its DC power cable connection**
2 **offering?**

3
4 A. Yes. Sprint’s DC power cable connections provide two leads as described above.
5 As a part of Sprint’s offering, the entire load ordered by the ALEC ~~is to~~ ^{could} be drawn
6 on the “A” lead. The “B” lead ~~is to~~ ^{would} be held in reserve in the event the “A” lead
7 fails.

8
9 **Q. How does redundancy affect the pricing and costing of DC power?**

10
11 A. The non-recurring and recurring charges for DC power cable connections include
12 the material, labor and maintenance for both leads; however, the charges for DC
13 power **usage** is based on what the ALEC declares it needs on its application. This
14 is further explained as part of Sprint’s response to Issue 6A below.

15
16 **ISSUE 6A. SHOULD AN ILEC’S PER AMPERE (AMP) RATE FOR THE**
17 **PROVISIONING OF DC POWER TO AN ALEC’S COLLOCATION SPACE**
18 **APPLY TO AMPS USED OR FUSED CAPACITY?**

19
20 **Q. For the purpose of billing DC power, how should an ILEC determine the**
21 **quantity of power to bill for?**

22
23 A. The most feasible method of billing for DC power consumption is to bill based on
24 the amount of power the ALEC declares on its application that it needs to power

1 its equipment in the collocation space. This approach equates to billing on the
2 basis of amps “used” without the added cost for the ILEC to meter or otherwise
3 estimate power usage on a monthly basis. DC power metering, a procedure that
4 Sprint does not perform for its own operations, would be a costly and
5 cumbersome process, the cost of which would have to be passed on to the ALEC
6 in the form of a higher DC power consumption rate.

7

8 **Q. Why is offering of DC Power Consumption based on load amps ordered**
9 **superior to “amps fused”?**

10

11 A. Billing based on the number of load amps ordered by the ALEC erases any
12 concerns the ALEC may have that it could be paying for more power than its
13 equipment could use. This is a commonly raised issue related to fused and
14 redundant capacity billing.

15

16 **ISSUE 6B. IF POWER IS CHARGED ON A PER-AMP-USED BASIS OR ON A**
17 **FUSED CAPACITY BASIS, HOW SHOULD THE CHARGE BE CALCULATED**
18 **AND APPLIED?**

19

20 **Q: How should the charge that Sprint is recommending for DC power**
21 **consumption based on load amps ordered be calculated and applied?**

22

23 **A:** A monthly recurring charge representing the ILEC’s cost to produce one load amp
24 of DC power should be applied to load amps ordered. The cost of a load amp is

1 comprised of two components. The first component is the cost of the DC power
2 plant itself, including the cost of a generator for providing backup power. The
3 second component is the cost of the commercial AC power, which is converted to
4 DC power within the power plant.

5 Power Plant Cost

6 The cost of the DC power plant should be determined on a TELRIC basis. That
7 is, it should be a forward-looking cost, based on current least cost most efficient
8 technology, equipment prices, and installation costs, and should assume that the
9 power plant is built to satisfy all current demand for DC power. Sprint's cost
10 methodology incorporates variable sizes and costs of power plants due to the
11 realities of widely varying DC power requirements for different size central
12 offices (telephone network facilities). A unit (per amp) investment is determined
13 by dividing the total forward-looking investments in all necessary power plants by
14 the total load (in amps) borne by those plants. A unit cost is determined by
15 multiplying the unit investment by an annual charge factor for power equipment.
16 The annual charge factor provides for depreciation, cost of money, income taxes,
17 property taxes, maintenance and other recurring expenses.

18 Commercial AC Power Cost

19 The cost of commercial AC power per DC amp can be determined from the
20 ILEC's recently paid utility bills for powering central offices, which are recorded
21 in FCC Account 6531. The sum of the bills' total charges can be divided by the
22 bills' total kilowatt-hours to yield an average cost per kilowatt-hour. The average
23 cost per kilowatt-hour can then be converted by formula to an average
24 commercial power cost per DC amp.

1 DC Power Cost Per Load Amp

2 DC power cost per load amp is determined by adding the per amp cost of the
3 power plant to the per amp cost of commercial AC power. Last, common costs
4 are added to the sum of the power plant and commercial AC power cost to arrive
5 at a total cost. Common costs consist of Corporate Operations Expenses (Accts
6 6710 & 6720) and the annual costs of certain General Support Assets (Acct 2110).

7

8 **ISSUE 6C. WHEN SHOULD AN ILEC BE ALLOWED TO BEGIN BILLING AN**
9 **ALEC FOR POWER?**

10

11 **Q: When should the ILEC begin billing for power?**

12

13 A. An ILEC should be allowed to begin billing an ALEC for power after acceptance
14 of the collocation space, the same as for any other collocation element. On that
15 date, the ALEC has the capability of drawing power.

16

17 **Q. Why should billing begin upon acceptance of the space, rather than when the**
18 **power is actually used?**

19

20 A. At the time of acceptance of the collocation space, power plant capacity has in
21 effect been placed in service for the ALEC's use. Accordingly, the ILEC is
22 entitled to a return on the investment it has made available to the ALEC.
23 Beginning to bill at the time the space is accepted is consistent with how the costs
24 have been incurred.

1

2 **Q:** **Does this conclude your testimony?**

3

4 **A:** Yes.

BEFORE THE FLORIDA PUBLIC SERVICE COMMISSION**REBUTTAL TESTIMONY OF****JIMMY R. DAVIS**1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. Please state your name, place of employment, and business address.

A. My name is Jimmy R. Davis. I am employed by Sprint/United Management Company as a Senior Manager – Network Costing at 6450 Sprint Parkway, Overland Park, Kansas 66251. I am testifying on behalf of Sprint-Florida, Incorporated and Sprint Communications Company Limited Partnership (hereafter collectively referred to as “Sprint” or the “Company”).

Q. Are you the same Jimmy Davis who previously filed direct testimony in this case?

A. Yes.

Q. What is the purpose of your rebuttal testimony?

A. I will respond to the direct testimony of AT&T witness Mr. Jeffrey A. King in a number of key areas. Specifically, my testimony deals with Mr. King’s comments regarding issues 1A, 1B, 1C, 6B, and 6C as identified on Attachment A of this Commission’s Procedural Order dated November 4, 2002. I will also respond to the direct testimony of BellSouth witness Mr. W. Keith Milner regarding issue 6A. Sprint witness Mr. Ed Fox will respond to AT&T witness Mr. King’s comments regarding issues 2A – 2D, 3, and 8.

1 **ISSUE 1A. WHEN SHOULD AN ALEC BE REQUIRED TO REMIT PAYMENT FOR**
2 **NON-RECURRING CHARGES FOR COLLOCATION SPACE?**

3
4 **Q. Please explain AT&T's position on when Non-Recurring charges (NRCs) should**
5 **be remitted to the ILEC.**

6
7 A. According to Mr. King (page 4 lines 6-19), AT&T separates NRCs into three
8 categories: (1) Application Fee (for the application process), (2) Space Preparation –
9 Firm Order Processing (to cover the collocation 'floor' space) and (3) Other (to cover
10 all other elements including power and cross connect cabling).

11
12 **Q. When does AT&T say the ALEC should pay the NRC for the application?**

13
14 A. According to Mr. King's direct testimony, AT&T believes the "applicable non-
15 recurring Application Fee should be **billed** within a 30-day billing cycle of the date in
16 which the ILEC notifies the ALEC of space availability" (King Direct page 4 lines 9-
17 12 emphasis added). Mr. King does not comment on when the application NRC
18 should actually be paid, so the implication is that AT&T expects additional time
19 before remitting payment. In addition, Mr. King states that the ALEC should be **billed**
20 when notified that space is available. It appears that AT&T does not expect to be
21 billed if it is determined that space is not available.

22
23 **Q. Will AT&T's position on remitting payment to the ILEC for the application NRC**
24 **adequately compensate Sprint for its cost?**

1 A. No. The application process involves planners and engineers reviewing the
2 application to determine if their requested collocation can be accommodated. This
3 includes: application processing, floor space review/assignment, DC power capacity
4 analysis, cross-connect infrastructure (e.g. main distribution frame)
5 review/assignment, entrance infrastructure capacity review/selection, price quote
6 preparation, etc. This analysis involves several hours of research and administrative
7 work for which the ILEC should always be compensated.

8

9 **Q. When should the NRCs for the application process be paid?**

10

11 A. Sprint requires payment for the application NRC up-front, prior to beginning the
12 research driven by the ALEC's application. Receiving payment up front is essential to
13 ensure that the ALEC's intentions are sincere while compensating the ILEC for its
14 incurred cost.

15

16 **Q. How does the issue of "space availability" affect Sprint's application process?**

17

18 A. Sprint maintains a list of closed (central) offices on our web site
19 (www.sprint.com/regulatory). An ALEC should consult the list prior to submitting an
20 application. Even though a Sprint office is not on the "closed" list, it doesn't mean
21 that we will be able to meet the ALEC's specific needs. The ALEC may be asking for
22 more space than what is available. Meanwhile, Sprint has incurred the costs for the
23 processing the application as explained above and should be compensated.

24

1 **Q. When does AT&T say the ALEC should pay the non-recurring charges for cable**
2 **runs associated with DC power and cross-connects?**

3
4 A. According to Mr. King's direct testimony, AT&T includes cable installations in the
5 category of "Other" (page 4 lines 16-17) and states that they "are billed within a 30-
6 day billing cycle of the date that the ALEC has accepted the requested collocation
7 UNE" (page 4 lines 16-18, emphasis added). Again, Mr. King does not comment on
8 when the application NRCs should actually be paid. Mr. King goes on to imply that
9 accepting the collocation space occurs only after the ALEC has "tested and
10 interconnected its facilities to the ILEC" (page 4 lines 18-19).

11

12 **Q. Will AT&T's position on remitting payment to the ILEC for the cable**
13 **installations NRCs adequately compensate Sprint for its cost?**

14

15 A. No. In fact AT&T's position falls woefully short of adequately compensating Sprint.
16 First of all, as covered in Sprint witness Mr. Ed Fox's Direct Testimony on page 4
17 lines 9-16, Sprint incurs cost immediately for material and labor associated with
18 preparing the collocation requested by the ALEC. The immediate material costs
19 referenced by Mr. Fox includes power and cross connect cables, cable racking, etc.,
20 while the immediate labor cost includes work authorization administration, site design,
21 material ordering and material handling. These immediate costs are closely followed
22 by the installation labor necessary to build the associated collocation element(s). If
23 collocation NRCs are not fully paid in a timely manner, Sprint will also incur carrying
24 costs (including cost of money) associated with funds spent in the process of building

1 the collocation elements. In other words, Sprint funds will be held up in until the
2 NRCs are paid.

3

4 **Q. When should the NRCs for ALL collocation elements including DC power cables
5 and cross-connect cables be paid?**

6

7 A. As covered in on page 4 of Sprint witness Ed Fox's Direct Testimony, "the ALEC
8 should be required to remit 50% of the nonrecurring charges at the time of the firm
9 order is placed and 50% upon acceptance of the collocation arrangement" (page 4
10 lines 3-4). This includes the NRCs for all collocation elements. Mr. Fox draws a
11 comparison to the construction industry where is it common practice "to require
12 partial payment of construction costs up front" (page 4 lines 12-13). Mr. Fox also
13 mentions a risk factor due to requesting carriers "varying degrees of financial
14 stability" (page 4 lines 14-15).

15

16 **Q. Does Sprint agree with AT&T that accepting the collocation space occurs only
17 after the ALEC has "tested and interconnected its facilities to the ILEC" (King
18 Direct, page 4 lines 18-19).**

19

20 A. No. As covered in Sprint witness Ed Fox's testimony (page 5 lines 8-19) the
21 acceptance process takes place once Sprint has completed the construction of the
22 collocation (which encompasses all collocation elements). Mr. Fox's testimony also
23 covers the timeframes for accepting completed collocations. Requiring the ALEC pay
24 for collocation elements upon completion is consistent with how Sprint incurs the cost
25 of building the collocation elements.

1 **ISSUE 1B. WHEN SHOULD BILLING OF MONTHLY RECURRING CHARGES**2 **(MRCs) BEGIN?**

3

4 **Q. According to AT&T witness Mr. King, AT&T advocates that MRCs for elements**
5 **like floor space, security cage, etc., should start upon acceptance of the**
6 **collocation while MRCs for the remaining elements should not start until the**
7 **ALEC has installed, tested and interconnected its equipment. Does this approach**
8 **of staggered MRCs adequately compensate Sprint for its costs?**

9

10 **A.** No. The provisioning intervals that an ILEC is held to encompass all the elements of
11 collocation including floor space, security cage, DC power cable, DC power
12 amperage, interconnection cables, etc. The ILEC is expected to complete all aspects
13 of a collocation before declaring the collocation complete. In doing so, the ILEC has
14 incurred costs which include but are not limited to work order administration,
15 engineering labor, material, installation labor, and carrying cost (including: cost of
16 money, depreciation, property tax, maintenance, etc) for it's investment in all
17 collocation elements. These carrying costs are built into the collocation element
18 MRCs and should be covered by the ALEC once the construction of collocation
19 elements is complete. Any delay in payment for collocation elements upon
20 completion puts an undue burden on the ILEC.

21

22 **ISSUE 1C. WHAT CANCELLATION CHARGES SHOULD APPLY IF AN ALEC**
23 **CANCELS ITS REQUEST FOR COLLOCATION SPACE?**

24

1 **Q. In his direct testimony on page 5 lines 16-18, AT&T witness Mr. King states that**
2 **“if the ALEC cancels its request for collocation space within 20 days after the**
3 **application has been submitted to the ILEC, the application fees should be fully**
4 **refundable to the ALEC”. Does this view compensate Sprint for its cost?**

5
6 A. No. As previously stated under issue 1A, the application process involves several
7 hours of work by planners and engineers for application processing, floor space
8 review/assignment, DC power capacity analysis, cross-connect infrastructure (e.g.,
9 main distribution frame) review/assignment, entrance infrastructure capacity
10 review/selection, price quote preparation, etc. Due to tight time intervals, these costs
11 are incurred immediately and the ILEC is entitled to compensation to recover them.

12
13 **Q. In his direct testimony (page 5 line 18 – page 6 line 2), Mr. King implies that the**
14 **ILEC receives a “benefit” from having available “a ready made collocation space**
15 **that it can use to supply the next ALEC that orders space”. Is this implication**
16 **correct?**

17
18 A. No. Mr. King’s assertions are wrong on two fronts. First of all, numerous ALECs
19 have gone out of business in Florida as well as throughout Sprint’s local operations
20 nationwide. I have seen significant numbers of complete collocations in Sprint
21 buildings, which have never been occupied by the ALEC for which they were
22 intended or by any other ALEC. I am familiar with collocations that have been
23 vacated by ALECs, which have remained open for several months. The rate of
24 collocation applications has fallen off substantially when compared to collocation
25 application rates of just two to three years ago. Secondly, collocation is not a “one

1 size fits all” offering. When Sprint refers to “collocation space”, we mean the entire
2 collocation site including all the elements involved. Assets like cross-connect cables
3 and DC power cables are designed and built to meet a specific ALEC’s needs. Should
4 an ALEC cancel its collocation request after their space is complete, the ILEC will
5 likely have to remove, redesign and rebuild the interconnection and DC power
6 infrastructure for any future collocation request. Only the floor space (square footage)
7 is generic enough to anticipate reuse by a future ALEC without modification.

8

9 **ISSUE 6A. SHOULD AN ILEC’S PER AMPERE (AMP) RATE FOR THE**
10 **PROVISIONING OF DC POWER TO AN ALEC’S COLLOCATION SPACE APPLY**
11 **TO AMPS USED OR FUSED CAPACITY?**

12

13 **Q. After his discussion on the merits of fused amp billing for DC power, BellSouth**
14 **witness Milner concludes (Direct page 12, lines 15-16) that “...the ALEC is not**
15 **paying for any more power capacity than what the equipment requires.” Does**
16 **Sprint agree with this statement?**

17

18 **A.** No. As is illustrated on exhibit JRD1, under fused amp billing, the ALEC will be
19 overcharged for power the overwhelming majority of the time. Starting with page 15
20 of his direct testimony, Mr. Milner attempts to explain the neutrality of fused amp
21 billing by using an illustration (page 15, line 17 ff) of a desired load of 40 amps. Mr.
22 Milner explains that the 40-amp load would be fused at 60 amps (1.5 * 40). Then Mr.
23 Milner explains that based on a fused amp rate of \$7.80, the ALEC would be charged
24 \$468.00 per month for DC power. Then Mr. Milner implies that if load amp billing
25 were used, a rate of \$11.70 ($\$7.80 * 1.5$) would be used instead, and the ALEC would

1 still pay \$468.00 per month ($\$11.70 * 40$) for DC power. As can be seen from Exhibit
2 JRD1, rate neutrality will only be achieved when the ALEC needs load amps of 10,
3 20, 30, 40, 60 amps, etc. For all other desired loads, the ALEC will be overcharged.
4 This happens because available fuses (shown in column C of Exhibit JRD1) do not
5 match up with the minimum protection needed (column B) for the desired load
6 (column A).

7
8 **Q. Using Exhibit JRD-1, please provide an example of where the ALEC would be**
9 **overcharged.**

10
11 A. Let's say the ALEC requested 48 load amps based on the needs of their equipment
12 (see corresponding value in column A on exhibit JRD-1). BellSouth would multiply
13 48 times 1.5 to arrive at 72 amps (column B) which is the amount of protection needed
14 (Milner direct page 12, lines 1-6). Since fuses come in standard sizes, BellSouth
15 would have to move up to an 80-amp fuse (column C). This would make the monthly
16 billing for DC power (column D) \$624.00 per month ($\$7.80 * 80$). If DC power
17 billing were based on the equivalent load amp rate of \$11.70 (column E), the ALECs
18 monthly rate for DC power would only be \$561.60 ($\$11.70 * 48$). Therefore in this
19 example (which is only 8 amps more than Mr. Milner's example), the ALEC would be
20 overcharged \$ 62.40 per month (column F). In the end, BellSouth would be charging
21 the ALEC for 53.33 amps (80 amps divided by 1.5) verses the 48 amps desired, which
22 refutes Mr. Milner's claim of neutrality.

23
24 **Q. How could this overcharging for DC power be addressed?**

1 A. In Mr. Milner's direct (page 12, lines 6-9), he states that "For purposes of billing, the
2 recurring power rate assessed by BellSouth includes a 0.6667 multiplier ...". Based
3 on this comment, it appears that BellSouth arrives at a load amp rate in their DC
4 power rate calculations just prior to determining their fused amp rate. To avoid the
5 overcharging illustrated above, BellSouth could simply apply the load amp rate they
6 are apparently already developing to the amps ordered by the ALEC.

7

8 **ISSUE 6B. IF POWER IS CHARGED ON A PER-AMP-USED BASIS OR ON A**
9 **FUSED CAPACITY BASIS, HOW SHOULD THE CHARGE BE CALCULATED AND**
10 **APPLIED?**

11

12 **Q. On page 9, lines 19-21 of his direct testimony, AT&T witness King recommends**
13 **"metering" as a means to capture the actual DC power usage of on ALEC. Does**
14 **Sprint agree with this recommendation?**

15

16 A. No. As covered in my direct testimony on page 8, lines 3-6, Sprint does not meter its
17 own DC power usage. Metering DC power usage for the ALECs would involve
18 adding costly metering equipment along with adding processes for reading usage and
19 billing accordingly. All the costs associated with metering would be passed on to the
20 ALECs in the form of a higher DC power consumption rate.

21

22 **Q. What is Sprint's preferred way of billing for actual DC Power usage?**

23

24 A. As covered on page 7 line 23 through page 8 line 3 of my direct testimony, the most
25 feasible method of billing for DC power consumption is to bill based on the amount of

1 power the ALEC orders. This is equivalent to AT&T's alternative recommendation of
2 using the "List 1 Drain of the installed equipment provided by the equipment vendors"
3 (Mr. King's direct, page 9 line 19 through page 10 line 6). The ALEC could/should
4 use the vendor provided List 1 drain to determine how much DC power to order.

5
6 **ISSUE 6C. WHEN SHOULD AN ILEC BE ALLOWED TO BEGIN BILLING AN**
7 **ALEC FOR POWER?**

8
9 **Q. On page 11 lines 3-9 of his direct testimony, Mr. King suggests that DC power**
10 **should not be billed to the ALEC until the ALEC installs and activates it**
11 **equipment. Will this approach adequately compensate Sprint for its costs?**

12
13 **A.** No. As with other collocation elements, the collocation completion intervals ILECs
14 are held to include making provisions for supplying DC power. This involves
15 providing capacity from the ILEC's DC power plant. The DC power plant consists of
16 rectifiers, batteries, power distribution boards, power cabling, emergency back up
17 generators and the like. These assets represent a substantial investment for which the
18 ILEC incurs carrying costs (including: cost of money, depreciation, property tax,
19 maintenance, etc). These carrying costs are built into the DC power consumption rate
20 and should be shared by the ALEC once collocation provisions are made. If AT&T's
21 positions regarding remittance of NRCs and MRCs were to be adopted, ALECs could
22 delay payment by delaying the installation of their equipment. Requiring ALECs to
23 remit NRCs and MRCs once collocation elements are available is necessary to
24 adequately compensate Sprint for its costs.

1 **Q. Does this conclude your rebuttal testimony?**

2

3 **A. Yes.**

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MS. MASTERTON:

2 Q And, Mr. Davis, do you have any exhibits to your
3 testimony?

4 A I do have one exhibit to my rebuttal, Exhibit JRD-1.

5 MS. MASTERTON: And, Madam Chairman, I would ask that
6 that exhibit be marked for identification.

7 COMMISSIONER DEASON: JRD-1 will be identified as
8 Hearing Exhibit 19.

9 (Exhibit 19 marked for identification.)

10 BY MS. MASTERTON:

11 Q And, Mr. Davis, have you prepared a summary of your
12 testimony?

13 A Yes, I have.

14 Q Could you please give that summary now?

15 A Thank you. And thank you, Madam Chairman. My direct
16 testimony deals with nonstipulated Issues 5, 6, including Parts
17 A, B, and C. My rebuttal testimony deals with Issues 1A, 6B,
18 and 6C.

19 As stated in both my testimony and in Sprint Witness
20 Fox's testimony, Sprint operates as both an ILEC and an ALEC in
21 the State of Florida. Issue 1A, which deals with when should
22 an ALEC be required to remit payment for NRCs, to ensure that
23 Sprint is compensated for cost as it is incurred, Sprint's
24 position is that the ALEC is to pay for the application fee up
25 front, to pay for 50 percent of all remaining NRCs at the time

1 of a firm order, and the remaining 50 percent of the NRCs at
2 the time that collocation is accepted as defined by Sprint
3 Witness Fox. AT&T, however, repeatedly advocates delaying NRC
4 payments or not making them at all, which falls short of
5 adequately compensating Sprint for the cost incurred in
6 providing services.

7 For Issue 5, should an ALEC be required to offer at a
8 minimum power in standard increments, and, if so, what should
9 those increments be, Sprint identifies two components of DC
10 power. We have DC power consumption and DC power cable
11 connections. Sprint's position is that DC power consumption
12 should be offered in single amp increments based on the load
13 amps ordered by the ALEC. Sprint has found that DC power cable
14 connections can fairly and reasonably be offered in standard
15 increments, and Sprint offers four increments of DC power cable
16 connections. Sprint's DC power cable connections are fully
17 redundant.

18 For Issue 6A, should an ILEC's per amp rate for
19 provisioning of DC power to an ILEC's collocation space apply to amps
20 used or fused capacity, under 6A Sprint continues the theme
21 that an ALEC should be billed for DC power consumption based on
22 the amount of DC power measured in load amps the ALEC declares
23 on its application that it needs to power its equipment in a
24 collocation space. Sprint equates this approach to billing for DC
25 power on the basis of amps used without the added cost of

1 metering. AT&T and Verizon agree with Sprint's position. DC
2 power metering is a process that Sprint does not use for its
3 own operations and that would be a costly and cumbersome
4 process, the cost of which would be passed on to the ALEC along
5 with the cost of the metering system, the OSS changes needed to
6 enable billing for metered power, the cost of taking
7 measurements of DC power and billing for that is the
8 substantial cost of underutilized DC power plant.

9 An ILEC's rate for DC power consumption is based on
10 the total capacity of the DC power plant and that basic
11 calculation is investment divided by capacity. The ILEC is
12 required to provide the DC power plant investment, which
13 include the batteries and rectifiers, power boards, et cetera,
14 necessary to produce 100 percent of the power the ALEC orders
15 and does not avoid the cost of doing so irrespective of how
16 little DC power the ALEC actually uses.

17 For Issue 6B, which is if power is charged on a per
18 amp used basis or on a fused capacity basis, how should a
19 charge be calculated and applied, a monthly recurring charge
20 representing the cost of producing one load amp of DC power is
21 applied to the load amps ordered. The cost of a load amp has
22 two components; the DC power plant investment and commercial AC
23 power, which is converted to DC power within the plant itself.

24 Costing for the DC power plant should be on a TELRIC
25 basis, meaning that it should be forward-looking and based on

1 the scale of total demand. Carrying charges, which include
2 cost of money, depreciation, property tax, maintenance, et
3 cetera, are applied to the DC power plant investment through an
4 annual charge factor. AC power costs should be based on the
5 ILEC's actual cost. Common costs are applied to the sum of the
6 DC power plant cost and the AC power cost to arrive at the
7 total MRC per amp.

8 And then for Issue 6C, when should an ILEC be allowed
9 to begin billing an ALEC for power, Sprint's position is that
10 the billing for DC power should begin upon acceptance of the
11 collocation space, the same as for any other collocation
12 element. Sprint has made available the DC power investment
13 ordered by the ALEC, and on the date of acceptance the ALEC can
14 draw power. The aforementioned carrying charges associated
15 with DC power plant investment are built into the DC power load
16 amp rate and should be borne by the ALEC once collocation
17 provisions have been made. This is consistent with how costs
18 have been incurred and that Sprint has had to make DC power
19 available as part of meeting the collocation completion
20 interval. And that concludes my summary.

21 CHAIRMAN JABER: Thank you, Mr. Davis.

22 MS. MASTERTON: The witness is available for cross
23 examination.

24 CHAIRMAN JABER: Mr. Feil.

25 MR. FEIL: No questions.

1 CHAIRMAN JABER: Mr. Watkins.

2 CROSS EXAMINATION

3 BY MR. WATKINS:

4 Q Mr. Davis, good afternoon. My name is Gene Watkins,
5 I represent Covad Communications. Were you here for Mr. Fox's
6 testimony?

7 A Yes.

8 Q Before we get over to the stranded investment that he
9 deferred to you, I want to ask you quickly about Issue 1A where
10 you want a 50 percent check up front for construction. Does
11 Sprint let CLECs, if they are certified vendors, build out
12 their collo spaces?

13 A Our policy at this point is that we would build your
14 collo space for you. We would work with you on -- you would
15 order elements and we would order the material and install that
16 for you based on the price structure that we have.

17 Q Are you familiar with BellSouth's practice in that
18 same regard?

19 A Yes.

20 Q And they will allow a company like Covad that is a
21 certified electrical vendor, a certified BellSouth electrical
22 vendor, to go into the collo space and to build that
23 themselves.

24 A Well, I understand that they require you to use their
25 certified vendors, is that what you are saying? That is my

1 understanding.

2 Q Yes, sir. Are you aware that if the CLEC themselves
3 is or are a BellSouth certified vendor, they can build out
4 their own collocation space?

5 A I was not aware of that.

6 Q Your principal reason for asking for 50 percent is
7 your concern that the company is going to go out of business in
8 the time period between them asking for a collocation space and
9 receiving it?

10 A We are trying to match up receipts with when we incur
11 costs. We do order materials, we do have engineering and
12 planning and those kind of activities, and that requirement is
13 consistent, as Mr. Fox said in his testimony, with the
14 construction industry. Typically when a contractor builds
15 something for someone, they do want a substantial amount of
16 money up front so that they can match up their expenditures
17 with receipts.

18 Q Is Sprint taking a 50 percent up-front payment
19 position with regards to the construction or provisioning of
20 any other UNE?

21 A Well, most of our UNEs, other than collocation, are
22 recovered on a monthly recurring charge basis, so that issue is
23 not applicable.

24 Q Would Sprint have any objection to the same terms
25 that were stipulated to for Issue 1C applying to 1A, that is,

1 all parties agree that the CLEC will be responsible for
2 reimbursing the ILEC for costs specifically incurred by the
3 ILEC on behalf of the canceling CLEC up to the date that their
4 written notice of cancellation is received?

5 A Well, our policy is as stated in the testimony that
6 we want the 50 percent up front and then 50 percent upon
7 completion, and that best matches the timing of when we incur
8 the cost, and that is what we would prefer to stick with.

9 Q Have you had any CLECs go bankrupt during the time
10 period after they have ordered the provisioning of a collo
11 space?

12 A We have had a number of abandoned, I can't give you
13 the reasoning necessarily behind that.

14 Q Were they abandoned before you were paid for the
15 build out?

16 A I have heard -- well, first of all, I had a discovery
17 response that sort of gets to this issue, and this is
18 discovery -- I mean, a response to Staff Interrogatory 69 where
19 we talk about -- in fact, I will just read a couple of lines
20 from that. "Since 1996, 289 collocations have been placed in
21 service by Sprint within Florida. Of those, 104 were started
22 but abandoned prior to their completion." So we have had
23 situations where collocators did start, yet abandoned their
24 collocations prior to completion. And then as of the end of
25 May of this year, we only have 142 collocations remaining. So

1 we have lost over half in terms of the collocations that were
2 completed and then subsequently abandoned.

3 Q Do you know what percentage of the 104 that were
4 abandoned you did not recover the costs?

5 A I don't know.

6 Q Do you know whether you recovered any of those 104
7 abandoned by a different CLEC coming in and asking for that
8 same space?

9 A I don't know that, either.

10 Q Did any of the people who abandoned any of those
11 spaces make payments to you that were subsequently recovered by
12 the bankruptcy court?

13 A I'm sorry, say that again.

14 Q Did the bankruptcy court come and get any money that
15 you were paid up front for any build-outs for collo spaces?

16 A I'm not aware.

17 Q With regard to Issue 6A, you were here for Mr. Fox's
18 and my discussion of that and his assertion that if you went to
19 metering there would be some stranded investment. Could you
20 elaborate what exact stranded investment he is talking about or
21 Sprint is talking about?

22 A I'm sorry?

23 Q Or Sprint is talking about, more accurately.

24 A Okay. Let's say you go to a restaurant and you order
25 a 24-ounce steak, and you are only able to eat six ounces of

1 that steak. No one would expect the restaurant to only charge
2 a fourth of that steak. You would have to pay for the full
3 24-ounces, even though you would have 18 ounces of steak
4 stranded on the plate. Sprint is simply asking for
5 cost-recovery in terms of the DC power plant that we have made
6 available to the ALEC.

7 CHAIRMAN JABER: You have not made anyone hungry.

8 BY MR. WATKINS:

9 Q If the monthly recurring charge for metered power was
10 designed in part to recover those costs, would Sprint maintain
11 its opposition to metering on that basis?

12 A So your question is if we took into account
13 underutilization of plant in terms of what the metered rate is,
14 would we still be opposed to metering in principle? I'm not
15 sure in terms of, you know, whether I can answer that question
16 for our entire company. It is logical that if we adjusted the
17 rate upward to reflect underutilization of plant that we would
18 recover our costs. So from a cost recovery perspective, it is
19 logical.

20 Q That same concern in time value of money drives your
21 desire to immediately begin billing for power at space ready
22 date?

23 A It is more than just the time value of money or cost
24 of money. There is also depreciation on the plant that has
25 been made available, there is property tax, there is

1 maintenance on that plant. So there is more cost involved than
2 just --

3 Q Those are factored into your monthly recurring charge
4 per amp used?

5 A Yes. Sure. Depreciation expense, property tax,
6 maintenance, all of that is.

7 Q Relative to the costs incurred, you would agree with
8 me in a general sense that an ILEC generally, within the
9 confines of the regulatory world we live in, shouldn't have to
10 give us anything for free, and we shouldn't have to pay for
11 anything we don't get in just a general sense, right?

12 A Yes, but we need to talk about what you mean by what
13 you don't get. That is where the distinction needs to be drawn
14 and understood.

15 Q Well, at least with regards to the electrical charge
16 that Florida Power and Light charges Sprint that gets run
17 through your wires and to our collo space, until we are
18 actually drawing that electrical load, we would be paying for
19 something that we aren't using.

20 A Well, earlier we were talking about things like what
21 part of the MRC for power is made up of the plant itself and
22 what part is made of the AC power. On the rate that we propose
23 it is about an 80/20 split. Meaning 80 percent of that rate
24 deals with the infrastructure -- or the DC power plant, I
25 should say, and the other 20 deals with the AC portion. And I

1 understand what the belief may be in terms of, well, if you are
2 only drawing a certain amount of power, then surely you are not
3 buying AC from the power company even though you are not --
4 even though you are not drawing power with your equipment.
5 Well, there is some draw because we have to charge our
6 batteries. I mean, we have batteries there that represent the
7 power backup in case of an AC power failure, and we have to
8 keep those batteries charged up, and there is a certain amount
9 of AC draw for that even.

10 CHAIRMAN JABER: Mr. Davis, help me understand
11 something that has been troubling the whole day when I hear
12 things like recovering depreciation, stranded investment, time
13 value of money, and you want to recover the costs that you have
14 incurred. Those are all -- and maybe it is just my background
15 in ratemaking and rate cases -- those are ratemaking principles
16 in a regulated environment.

17 The trouble I have been having all day is I haven't
18 heard anyone talk about a formula for a market rate or a
19 business negotiated rate. And, again, I'm giving you an
20 opportunity to tell me, have you thought about a one-time
21 charge that -- who cares how you came up with it, but a
22 one-time charge that you could propose to the CLECs that
23 frankly may not -- maybe it doesn't allow you to recover all of
24 the costs, but that is sort of, you know, those are the market
25 forces and that is the give and take in a competitive

1 environment. When I hear stranded investment, to me that means
2 you have lost something that through regulation you might have
3 been entitled to, and because of a regulatory change you are no
4 longer getting it. That is not what we are talking about here.
5 Or, you know, years ago you were asked to put in some
6 infrastructure to serve a customer base and something has
7 happened along the way that now your customer base has been
8 taken away from you.

9 We are not talking about infrastructure you put in,
10 so stranded investment doesn't work for me, just to disclose
11 that to you right now. But I also want to give you an
12 opportunity to -- what would be a market rate, what formula
13 would you recommend that we should be looking at and what is it
14 you need to help you come up with that rate to propose to them,
15 and either they take it or they don't, but at least it would be
16 a starting point?

17 THE WITNESS: Well, our cost studies are TELRIC-based
18 and so our cost studies are based on our costs. So I'm not
19 quite following your question in terms of a market rate.

20 CHAIRMAN JABER: Well, even TELRIC, as I understand
21 it, and certainly as we have applied it here is based on a
22 forward-looking cost model. Not what you paid yesterday, but
23 what is the most efficient network that could be constructed
24 today, or tomorrow, or 100 years from now. So to me that
25 implies market, the state of the telecommunications market.

1 What could you reasonably expect the CLECs to pay for their
2 request to share your space?

3 THE WITNESS: Well, let me talk for a moment about
4 what the MRC is representing. Eighty percent of that MRC has
5 to do with the DC power plant investment. Let's say for a
6 moment that it takes \$500 worth of DC power plant to produce an
7 amp of power. So if an ALEC comes in and orders 100 amps, then
8 they are, in essence, asking us to set aside \$50,000 worth of
9 DC power plant on their behalf. If they were not in our CO, if
10 they were in a building somewhere else and they had to build
11 their own DC power plant, they would have to make the same kind
12 of decision.

13 And you alluded to that earlier in your comments that
14 they would need to be responsible in terms of their planning in
15 deciding how much DC power plant to put in place, and what have
16 you. Well, that can be done through the rate structure that we
17 have today, because that MRC is supported and backed up by true
18 investment in DC power plant.

19 So when they order 100 amps, it is like having
20 \$50,000 worth of investment for a DC power plant that is
21 sitting there on their behalf. And what we need is our
22 recovery of our cost for that \$50,000 worth of DC power plant,
23 and that is what the MRC is designed to do.

24 So if they simply pay, you know, for whatever they
25 order, and Sprint's position, again, is we are asking that --

1 or we are wanting an ALEC to pay for the DC power that they
2 order. As long as they do that, we will receive cost-recovery
3 on that portion of DC power plant investment that is there for
4 them.

5 CHAIRMAN JABER: Mr. Watkins.

6 BY MR. WATKINS:

7 Q When you say there is DC power plant set aside for
8 the CLEC, again, you would agree with Mr. Milner's testimony on
9 cross here that there is no battery that is there for Covad
10 unto itself and there is no rectifier there for --

11 A You have the capacity from all of the components of
12 the plant that will provide you with the power that you have
13 ordered, and that capacity does have an investment associated
14 with it. And, again, the alternative is you are in a separate
15 building. You have got your own DC power plant and you built
16 your own DC power plant.

17 You have a tremendous advantage being in an ILEC's
18 office, because you don't have to build a whole plant. You can
19 just say, well, I want 100 amps of capacity, or I want 50 amps
20 of capacity, and we set that capacity aside for you. And that
21 is capacity we cannot use for anybody else. Let's say we have
22 a 1,000-amp office and an ALEC comes in and says I want to get
23 50 amps of power from you. That 50 amps of power is not 50
24 amps of power that is flowing, that 50 amps of power is 50 amps
25 of DC power investment. That is what it means to us because

1 that is what that number represents.

2 You know, there is a lot of seemingly comparisons
3 between a DC power plant and a commercial -- or, excuse me, a
4 public utility for AC power, and those two things are totally
5 different. Those are different animals. And I have a chart
6 that I have prepared just to discuss some of the difference
7 between a DC power plant and commercial AC power that I would
8 like to share.

9 CHAIRMAN JABER: How about to the degree that that is
10 available on redirect we will hold onto that.

11 THE WITNESS: Okay. But getting back to my point, I
12 mean, it is a tremendous advantage for an ALEC to say, well, I
13 am needing -- my planning horizon is 50 amps. If they weren't
14 get that 50 amps from us, they would be faced with building a
15 50-amp DC power plant. That is what they would have to do is
16 build a 50-amp DC power plant, and they would bear the cost of
17 the 50-amp DC power plant. But what you are able to do is come
18 into a CO and say, well, I want to 50-amp DC power plant and
19 that is what we appropriate for you and, you know, we simply
20 want recovery for that.

21 BY MR. WATKINS:

22 Q You are familiar with the historical origins of the
23 local loop, and the reason that you have got it running into
24 your central office, and the reasons it would inefficient for
25 people to be out there building their own central offices and

1 running their own local loops, right?

2 (Brief interruption.)

3 I will withdraw that question. Let me just address
4 one of the comments that the Chairwoman made here. Once that
5 battery is built and once that rectifier is built, it is not a
6 stranded investment in the traditional sense unless Sprint into
7 the future does not utilize it, right?

8 A Well, we are talking about stranded and let's talk
9 about stranded, and utilization, and that sort of thing.
10 Earlier I was saying that when you come in and you tell us that
11 you want your 50-amp power plant, if we have a 1,000-amp office
12 and you come in and say, well, I want my 50-amp power plant, we
13 no longer have a 1,000-amp office remaining for everybody else,
14 we have a 950 amps of office remaining to divvy up among the
15 rest of the people. So we don't have that 50 amps available
16 that you have reserved to give to anybody else.

17 So it is like that 24-ounce steak. You have ordered
18 a 24-ounce steak, it is called a 50-amp power plant, and
19 whether you eat all of that steak or not, whether you use all
20 of that power or not, you have still got it sitting on your
21 plate and we need cost-recovery for that 50-amp power plant.
22 That's all I'm saying here.

23 Q The one-time charge one runs into in a restaurant
24 analogy is not exactly the same as the monthly recurring charge
25 into the distant future that we are talking about with regards

1 to monthly recurring charges on a per amp basis, right?

2 A Well, again, that monthly recurring charge is
3 representing an investment.

4 Q Do you understand, if I am paying -- or if I use my
5 chart and I am paying 30 percent too much for the power that I
6 am receiving in terms of if I am charged on a per requested amp
7 basis, and I am paying a third too much because I'm not using
8 that electricity, even though I ultimately may, that that is
9 money that goes into Sprint's pocket that we will never see
10 again. That truly is a stranded investment for a CLEC, isn't
11 it?

12 A Well, we have made the investment in the power plant,
13 you have asked for us to give you 50 amps of capacity. That is
14 capacity that we can't use. During the time that you are
15 holding it, you are holding it. Because you have asked for it,
16 we have to provision you with 100 percent of the capacity that
17 you have asked for because, again, I mean, a DC power plant is
18 not like a public utility, a public AC utility. AC utilities,
19 their power plants are not built based on the total demand. A
20 DC power plant is.

21 I mean, AC power, your public utilities, they can
22 share between power plants. They own this big grid system.
23 And if one is lacking in power that it needs, it can get power
24 from another plant. Companies can buy and sell power from each
25 other. A DC power plant is a self-contained unit within the

1 walls of the CO itself. There is no opportunity to get power
2 from another DC power plant if that DC power plant is about to
3 exceed its capacity. So that plant has to be designed and
4 built for the full demand that is anticipated on that plant.

5 Other things that a public utility can do is they can
6 do some load management. They can do things like they can make
7 a deal to shut off a customer's water heater for two or three
8 hours a day. We can't shut off anybody's equipment, so we
9 can't do load management. They can even do brownouts in
10 portion of a city, if necessary, if things really get bad --

11 MR. WATKINS: Madam Chair, I don't want to interrupt
12 this story, but we have gotten into utility management ideas
13 that have nothing to do with the question.

14 CHAIRMAN JABER: I've got a question on this point
15 before I get increasingly confused. Let's say that a CLEC
16 requests a certain amount of DC amperage, and that it will cost
17 Sprint a million dollars -- just hypothetically pulling a
18 number out of the air -- a million dollars to construct that
19 for the CLEC, the infrastructure component, and that full usage
20 of that power will result in an increase in monthly bills of
21 \$25,000 a month in power usage. Can't those two components be
22 separated out so that whatever the actual cost incurred by
23 Sprint to build the infrastructure at the request of the CLEC
24 is all that is billed to the CLEC up front and that they are
25 not billed monthly for power that they don't use?

1 THE WITNESS: Well, the rate does have the two
2 components, 80 percent of our MRC deals with DC power plant, 20
3 percent deals with the AC portion. I think what I'm hearing
4 you say is that perhaps we recover the cost of our plant based
5 on a nonrecurring charge as opposed to monthly recurring
6 charges up front, is that what I am understanding?

7 COMMISSIONER DAVIDSON: Well, I am not really
8 suggesting, I'm just trying to get at this notion that we have
9 been talking about all day, and I think with which counsel is
10 concerned and different witnesses have addressed, separating
11 out sort of property plant and equipment from the actual fuel
12 cost or power cost charge that is incurred monthly.

13 THE WITNESS: And I have seen that offered by some
14 ILECs where they have a separate rate for the DC power plant as
15 opposed to the AC power that is used to feed the plant. I have
16 seen that rate split before.

17 COMMISSIONER DAVIDSON: Well, I don't want to dictate
18 a particular business model and say that one approach is right
19 over the other. But if you can help me understand what are
20 some of the reasons why Sprint doesn't or couldn't make a
21 similar type of split.

22 THE WITNESS: Well, even in the cases where the rate
23 is split, those particular ILECs they still charge you for the
24 full amount of power that you have ordered. I mean, if an ALEC
25 goes into an SBC office and they order 50 amps of power, they

1 are still paying for the DC power plant cost times 50 amps and
2 the AC portion times 50 amps.

3 Now, in terms of putting meters out there in a CLEC
4 cage and metering actual draw and then only billing the AC
5 power based on what is metered, is that where you are heading
6 with this?

7 COMMISSIONER DAVIDSON: No. Your explanation was
8 beginning to answer the question, but now I have got a
9 follow-up. Hypothetically, assume that five CLECs request a
10 certain amount of DC power from Sprint and that each of those
11 five CLECs only utilizes 75 percent of the power that they have
12 requested. Is it a fair conclusion to state that those five
13 CLECs will each be paying for more actual power than they
14 actually use, and that Sprint would get the benefit of that
15 payment?

16 THE WITNESS: In terms of the AC power, you mean, the
17 AC power portion, or in terms of which --

18 COMMISSIONER DAVIDSON: The DC.

19 THE WITNESS: For the DC the answer is no, because
20 the entire investment of DC plant is there. I mean, it is
21 sitting there. The investment has been made.

22 CHAIRMAN JABER: Commissioner Davidson, I took your
23 question to be they are only using 75 percent of the power
24 requested.

25 COMMISSIONER DAVIDSON: Right.

1 CHAIRMAN JABER: So the question I think the
2 Commissioner is asking you to address, certainly I am
3 interested in it as well, isn't it true that for those five
4 CLECs you would be recovering more for the power than is
5 actually flowing through the system?

6 THE WITNESS: Power in terms of the AC power?

7 CHAIRMAN JABER: Yes, electrical flow.

8 THE WITNESS: Okay. Well, I don't know how much of
9 that is necessary to charge the batteries, so that would need
10 to be factored in. There is a certain amount of draw that is
11 necessary just to keep the batteries charged. But it would
12 seem that in terms of the AC power that we buy, as opposed to
13 what we are passing on to the ALEC in terms of the rate, or I'm
14 hearing you say is there a gap there, are we perhaps recovering
15 more than what the ALEC is actually drawing? You know, that is
16 a possibility, but we do need power to keep the batteries
17 charged.

18 CHAIRMAN JABER: Mr. Watkins.

19 BY MR. WATKINS:

20 Q Were you here for Mr. Milner's cross-examination? I
21 mean, Commissioner Davidson asked exactly that same question,
22 got that same answer, and we had to have the same clarification
23 last time. If we don't use all the amperage that we asked for,
24 Sprint gets overcompensated for the power, don't they?

25 A The power being the AC portion?

1 Q The electrical portion of the monthly recurring
2 charge.

3 COMMISSIONER DAVIDSON: And that's what I meant. And
4 I am not an electrician, so I mean just as the Chairman
5 clarified, that was a very useful clarification. The power,
6 the actual power that runs through.

7 THE WITNESS: I understand the point. To make
8 adjustments for that -- well, the answer to your question is
9 yes, perhaps we are charging for more AC that you are using,
10 but we don't have knowledge of that. We don't have the
11 knowledge of how much power you are actually drawing at any
12 given time. You know, our rate is based on the amount of
13 amperage that they have put on their application. So to be
14 able to do what you are getting at, I think, there would need
15 to be meter in the cage to be able to measure the flow and
16 perhaps only bill the ALEC for the AC based on the actual flow.

17 But then you are talking about the cost of metering,
18 you are talking about the operational support systems necessary
19 to enable us to measure that and bill for that. There is quite
20 a bit of cost that would be incurred to set that up even if we
21 are only metering for the purpose of billing only the AC
22 portion.

23 CHAIRMAN JABER: I wonder if CLECs could see the cost
24 composite with all the metering and all the necessary equipment
25 that would go into measuring actual flows used versus paying

1 for what they requested if we would be in a much different
2 hearing.

3 THE WITNESS: I believe the cost of metering the
4 operational support systems, the billing, you know, it's not
5 just the metering systems, it is all the other OSS type costs
6 that we would need to set that up, that cost would be high
7 enough that it wouldn't pay to put in a meter just to allow
8 themselves to only be billed based on the AC draw.

9 CHAIRMAN JABER: So you have done that analysis?

10 THE WITNESS: We are working on it. That is a part
11 of discovery that staff asked for and it is due on the 12th, as
12 I understand it. But, anyway, the gap between what an ALEC
13 orders and what they use is a temporary gap. That is another
14 point I think that needs to be taken into consideration here.
15 You know, an ALEC is going to come in and say I want 50 amps of
16 power, and they may be only drawing 10, but they have business
17 plans and they want to be able to grow and add equipment and
18 get up to the point where they are using 40, 45, and maybe even
19 the full 50 amps. So, I mean, that gap is not a long-term
20 deal. And so I can't believe it would be cost-effective for an
21 ALEC to put in a meter on a temporary condition knowing that
22 their needs are going to grow up to the point where they are
23 very, very close if not equal to the amount of power that they
24 have ordered.

25 CHAIRMAN JABER: Mr. Watkins, you had a question.

1 BY MR. WATKINS:

2 Q It could be a compelling bit of evidence that the
3 CLECs are here asking for that option, isn't it?

4 A You are asking for the option to be able to meter
5 just the AC portion of the rate?

6 Q We want to be able to meter -- the fact that we are
7 before this Commission asking for the option to meter is pretty
8 compelling evidence, isn't it, that that is an economically
9 viable option, one that indeed our analysis shows is better
10 than the current state of affairs, isn't it?

11 A I'm sorry, I'm not following your question there.

12 Q I will withdraw that question. I just want to get --
13 the last issue was about when should you start billing for
14 power. That is not a sunk investment. You start getting
15 reimbursed for your in-plant investment if it is two months,
16 one month, or three months. You begin getting paid on that day
17 at least on an incremental level for your in-plant at the
18 current pricing structure for your in-plant investment. If we
19 are paying for power during that same one month, two month, or
20 three months, that is money that is just going down the hole
21 for us, isn't it, because we are not getting anything for that?
22 That truly is a sunk investment for us, but it's not for you.
23 It is a deferred compensation.

24 A Well, it's like I heard someone say earlier today, I
25 mean, provisioning intervals are known. I mean, ALECs know

1 when we anticipate having the space ready. We are required as
2 an ILEC to provision collocation within a certain time frame
3 and we are held to that, and once that space is ready we have
4 made our provisioning, we have put our infrastructure in place
5 and we need to start getting cost recovery. The ALEC also
6 knows that that date is coming and should be ready to move
7 right in and get things going and start doing business.

8 MR. WATKINS: I am five minutes into people's going
9 home time, so I am going to wrap up right here. That's all the
10 questions I have.

11 CHAIRMAN JABER: Thank you, Mr. Watkins. Mr. Hatch
12 or Mr. Self. Give me an estimate for the time. I realize that
13 my questions kind of shot our estimates, but --

14 MR. HATCH: Well, the way it has gone my estimate
15 went up. I don't know by how much, but that was the question.
16 I would still guess probably a half hour, maybe a little more.

17 CHAIRMAN JABER: Oh, you needed a half hour by
18 yourself?

19 MR. HATCH: Yes.

20 CHAIRMAN JABER: Okay. Commissioners, we will shut
21 down for the night except that I want to go back to the
22 exhibits. Exhibit 5. Staff, what is the latest on that?

23 MR. TEITZMAN: I have discussed with the parties and
24 I think we are going to have them file their responses or send
25 in their responses on Friday, by Friday, and that will become a

1 late-filed hearing exhibit.

2 CHAIRMAN JABER: Okay. So we can just treat it as a
3 normal late-filed hearing exhibit.

4 MR. TEITZMAN: That is correct.

5 CHAIRMAN JABER: Okay. With a due date of this
6 Friday?

7 MR. TEITZMAN: Correct.

8 CHAIRMAN JABER: Parties, is there any objection to
9 that due date?

10 MS. RONIS: Madam Chair, there is no objection, but I
11 do have to say that the data request that staff sent to all the
12 parties asked for extensive information and causes us to
13 perform cost studies. So we don't believe -- we have answered
14 all but the one question asking for cost information, kind of
15 along the lines that you have been talking about here, and we
16 don't believe that will be ready by Friday. And we believe
17 that that is supposed to be the subject of the next phase, we
18 are going to be talking about the actual costs. So I'm not
19 sure how we handle it to be honest, but --

20 CHAIRMAN JABER: Well, what is it you want? I'm
21 asking if you can accomplish Friday or not. What number is
22 that, what request number? Is it an interrogatory request?

23 MS. RONIS: 229.

24 CHAIRMAN JABER: Staff, can that one be separated out
25 with a different due date?

1 MR. TEITZMAN: One second, Commissioner.

2 CHAIRMAN JABER: Okay. And, Ms. Ronis, with respect
3 to the rest of them, you can meet Friday?

4 MS. RONIS: Yes, I believe we can.

5 CHAIRMAN JABER: Sprint.

6 MS. MASTERTON: We are prepared to meet the Friday
7 deadline.

8 CHAIRMAN JABER: Hang on a second, Ms. Masterton.
9 Ms. White, you are okay with the Friday deadline?

10 MS. WHITE: I think we filed the answers today.

11 CHAIRMAN JABER: AT&T?

12 MR. HATCH: We are not filing today, we are shooting
13 for tomorrow. But certainly Friday should be okay for us as
14 far as I know.

15 CHAIRMAN JABER: Okay.

16 MR. TEITZMAN: Chairman, what we would like to see is
17 that Verizon file all its other responses by Friday and that
18 one particular response they can have some additional time.
19 However, we would still like it to be a part of the late-filed
20 hearing exhibit.

21 CHAIRMAN JABER: Well, I understand that, but how
22 much more time do we have stipulated to give them?

23 MR. TEITZMAN: It would already be overdue, I
24 wouldn't want to give them too much time. Maybe an additional
25 week.

1 CHAIRMAN JABER: Okay. We will do this, I'm not
2 dealing with Exhibit 5. I think there is too much uncertainty.

3 Ms. Keating, if you will get together with Verizon
4 and find out what exactly they can do and cannot do.

5 And, Mr. Teitzman, if we need to separate out an
6 exhibit just to address Interrogatory 229, we can do that
7 tomorrow.

8 Ms. White, is Exhibit 15 confidential or not?

9 MS. WHITE: No, ma'am, it is not. I was mistaken.

10 CHAIRMAN JABER: Let the record reflect that Exhibit
11 15 is a public document.

12 We will start with Mr. Hatch's cross examination at
13 9:00 a.m. I'm sure, Mr. Hatch, you are going to be diligent in
14 eliminating questions that have already been addressed today.
15 And, Ms. Masterton, your witness will be more concise in his
16 responses tomorrow.

17 MS. MASTERTON: Yes.

18 CHAIRMAN JABER: See you tomorrow morning.

19 (The hearing adjourned at 4:40 p.m.)
20
21
22
23
24
25

1 STATE OF FLORIDA)

2 : CERTIFICATE OF REPORTER

3 COUNTY OF LEON)

4

5 I, JANE FAUROT, RPR, Chief, Office of Hearing Reporter
6 Services, FPSC Division of Commission Clerk and Administrative
7 Services, do hereby certify that the foregoing proceeding was
8 heard at the time and place herein stated.

7

8 IT IS FURTHER CERTIFIED that I stenographically
9 reported the said proceedings; that the same has been
10 transcribed under my direct supervision; and that this
11 transcript constitutes a true transcription of my notes of said
12 proceedings.

10


11 I FURTHER CERTIFY that I am not a relative, employee,
12 attorney or counsel of any of the parties, nor am I a relative
13 or employee of any of the parties' attorney or counsel
14 connected with the action, nor am I financially interested in
15 the action.

13

DATED THIS 19th day of August, 2003.

14

15



16

JANE FAUROT, RPR
17 Chief, Office of Hearing Reporter Services
18 FPSC Division of Commission Clerk and
19 Administrative Services
20 (850) 413-6732

18

19

20

21

22

23

24

25