

BEFORE THE
FLORIDA PUBLIC SERVICE COMMISSION


In the Matter of

PETITION OF COMPETITIVE CARRIERS
FOR COMMISSION ACTION TO SUPPORT
LOCAL COMPETITION IN BELLSOUTH
TELECOMMUNICATIONS, INC.'S
SERVICE TERRITORY.

DOCKET NO. 981834-TP

PETITION OF ACI CORP. d/b/a/
ACCELERATED CONNECTIONS, INC. FOR
GENERIC INVESTIGATION TO ENSURE THAT
BELLSOUTH TELECOMMUNICATIONS, INC.,
SPRINT-FLORIDA, INCORPORATED, AND
GTE FLORIDA INCORPORATED COMPLY WITH
OBLIGATION TO PROVIDE ALTERNATIVE LOCAL
EXCHANGE CARRIERS WITH FLEXIBLE, TIMELY,
AND COST-EFFICIENT PHYSICAL COLLOCATION.

DOCKET NO. 990321-TP



ELECTRIC VERSIONS OF THIS TRANSCRIPT ARE
A CONVENIENCE COPY ONLY AND ARE NOT
THE OFFICIAL TRANSCRIPT OF THE HEARING,
THE .PDF VERSION INCLUDES PREFILED TESTIMONY.

VOLUME 4

PAGES 382 THROUGH 553

PROCEEDINGS: HEARING

BEFORE: CHAIRMAN LILA A. JABER
COMMISSIONER J. TERRY DEASON
COMMISSIONER BRAULIO BAEZ
COMMISSIONER RUDOLPH "RUDY" BRADLEY
COMMISSIONER CHARLES M. DAVIDSON

DATE: Tuesday, August 12, 2003

1 TIME: Commenced at 9:00 a.m.

2

3 PLACE: Betty Easley Conference Center
4 Room 148
5 4075 Esplanade Way
6 Tallahassee, Florida

7 REPORTED BY: TRICIA DeMARTE, RPR
8 Official FPSC Reporter
9 (850) 413-6736

10 APPEARANCES: (As heretofore noted.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 I N D E X

2 WITNESSES

3 NAME: PAGE NO.

4 JIMMY R. DAVIS (RESUMED)

5 Cross Examination by Mr. Hatch 386

6 Cross Examination by Mr. Teitzman 443

7 Redirect Examination by Ms. Masterton 444

8 CHARLES BAILEY

9 Direct Examination by Mr. McCuaig 447

10 Prefiled Direct Testimony of
Charles Bailey Inserted 45211 Prefiled Direct Testimony of
John Ries as adopted by
Charles Bailey Inserted 45512 Prefiled Rebuttal Testimony of
John Ries as adopted by
Charles Bailey Inserted 470

13 Cross Examination by Mr. Feil 496

14 Cross Examination by Mr. Watkins 513

15

16

17

18

19

20 CERTIFICATE OF REPORTER 553

21

22

23

24

25

EXHIBITS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUMBER:

19

20

JR-1

ID. ADMTD.

446

451

P R O C E E D I N G S

(Transcript continues in sequence from Volume 3.)

CHAIRMAN JABER: Let's get started this morning.

And, let's see, Mr. Hatch, where we left off last night, you said, yeah, you said you had a few questions of the witness.

MR. HATCH: That is correct, I have a few.

CHAIRMAN JABER: So let's get started.

JIMMY R. DAVIS

resumed the stand as a witness on behalf of Sprint-Florida, Incorporated, and Sprint Communications Company Limited Partnership and, having been previously sworn, testified as follows:

CROSS EXAMINATION

BY MR. HATCH:

Q Good morning, Mr. Davis. My name is Tracy Hatch. I'll be asking you a few questions on behalf of AT&T.

A Good morning.

Q Could we start with a couple of definitional things, I think, to probably get us started off, so we're all talking about the same thing as we go through these questions?

A Excuse me. Could you move that mike closer or turn it or something?

Q Sure. Are you familiar with the term of List 2 drain?

A Yes, sir.

1 Q What is your definition of List 2 drain?

2 A I would confer with what BellSouth Witness Milner was
3 saying about List 2 drain in terms of it being sort of a
4 maximum load that a piece of equipment would be expected to
5 draw.

6 Q And you'd agree with Mr. Milner with his definition
7 of List 1 drain as well?

8 A Yes.

9 Q Now, I'm going to go back and pick up on a couple of
10 things that were talked about yesterday before I go any
11 further. There was a discussion yesterday about your
12 50 percent nonrecurring charge and that being recovered up
13 front. Do you recall that discussion?

14 A Yes, I do.

15 Q Now, I think you mentioned support for that that it
16 is common for commercial construction projects to charge a
17 deposit; is that correct?

18 A To charge a portion of the cost up front, yes.

19 Q Can you tell me any commercial construction charge --
20 project, rather, that charges a 50 percent deposit up front?

21 A Well, I have a brother that's in the construction
22 business, and that is something that he's talked to me about in
23 terms of needing a certain amount of capital up front to start
24 a job. He describes his business as being very tight in terms
25 of cash flow, and they -- in the construction business, the

1 margins are not that great and that would be similar in the
2 situations we're talking about here. We're building everything
3 here at cost, so the margins on what we're going with the funds
4 once we receive them is nonexistent because we are by law
5 required to do that at cost. So like the construction business
6 with very tight margins, they do need funds up front so they
7 can get started on a project.

8 Q Does your brother charge a 50 percent deposit for
9 each project?

10 A I don't know what he charges, sir.

11 Q So you don't know whether -- you can't identify any
12 commercial construction project that charges a 50 percent
13 deposit up front?

14 A Not specifically, no, but I just know in general
15 that's how that industry works.

16 Q Does BellSouth do all of its own work in its central
17 offices with its own personnel, meaning Sprint employees, or
18 does it hire out --

19 A Well, you said, does BellSouth, do you mean Sprint?

20 Q I meant, Sprint. I'm sorry.

21 A Well, there's a mix of company labor and contract
22 labor depending on the projects that are in front of us. We
23 prefer to use our own labor if we can handle that load.

24 Q For your contract vendors, do you pay a 50 percent
25 deposit up front?

1 A Well, that 50 percent is not associated with costs
2 that haven't been incurred yet. It's associated with costs
3 that are incurred, including material costs.

4 MR. HATCH: Madam Chairman, could I get the witness
5 to answer "yes" or "no" to that question?

6 THE WITNESS: Well, in terms of labor --

7 CHAIRMAN JABER: Just a second. Hang on. Mr. Hatch,
8 to the degree your questions can clearly be answered with an
9 affirmative or a negative, I would agree. And I would ask the
10 witness, you have an opportunity to elaborate.

11 THE WITNESS: All right.

12 CHAIRMAN JABER: And please be reminded that there's
13 an opportunity for redirect, but this hearing is more efficient
14 when you can be as concise as possible. It helps us.

15 THE WITNESS: I understand.

16 CHAIRMAN JABER: Okay. Go right ahead.

17 THE WITNESS: In terms, we do not pay the contractors
18 50 percent up front, but there are other costs that must -- you
19 know, that 50 percent would represent: Material, engineering,
20 and what have you.

21 BY MR. HATCH:

22 Q For your materials -- never mind. Strike that.

23 Can I draw from that that since you use contractors
24 for some of your work, that you have a list of contractors that
25 are acceptable for work in your central offices?

1 A Yes, of course.

2 Q What objection would you have to CLECs using that
3 same list of contractors to provide their own work for their CO
4 space in their collocation arrangements?

5 A Well, we have a standard interconnection agreement
6 that covers those terms and conditions, and I would refer back
7 to that, and that is spelled out in terms of we provide the
8 interconnection facilities and the power cables and what have
9 you.

10 Q I understand what your policy is according to your
11 current interconnection agreement. Do you have any objection
12 to CLECs using your certified vendors for work in their
13 collocation spaces?

14 A Well, you're asking me a policy question; I'm a cost
15 witness.

16 CHAIRMAN JABER: So is your answer you don't know,
17 you have no opinion?

18 THE WITNESS: I'm the costing witness, and in terms
19 of setting policy, I can't speak on behalf of everyone.

20 MS. MASTERTON: Mr. Fox actually provided the policy
21 testimony on this issue, and Mr. Davis's testimony went to the
22 cost issue. So he's not prepared or has the information to
23 answer the policy questions.

24 CHAIRMAN JABER: Thank you, Ms. Masterton.

25 MR. HATCH: My response, Madam Chairman, is that

1 Mr. Davis talks a great deal about the policy issues
2 surrounding the cost issues, and he's proffering testimony in
3 this technical area on the policy issue particularly regarding
4 cost.

5 CHAIRMAN JABER: Ms. Masterton, is Mr. Fox still
6 here?

7 MS. MASTERTON: He was excused and he left.

8 CHAIRMAN JABER: That's not what I asked you -- oh,
9 so he's not here.

10 MS. MASTERTON: Yes, he's not here. Right.

11 MR. HATCH: He's also identified as a witness
12 testifying in Issue 1A, which is part of this.

13 CHAIRMAN JABER: Show me in the testimony where you
14 think his testimony reaches the policy issue, Mr. Hatch.

15 MR. HATCH: The policy issue is related to his
16 testimony regarding the 50 percent up-front charge which I
17 believe is in his rebuttal testimony where he discusses the
18 testimony of Mr. Fox.

19 MS. MASTERTON: It would help me and probably my
20 witness if you could point to the exact page and line number
21 that you're referring to.

22 CHAIRMAN JABER: Ms. Masterton, that's what I just
23 asked Mr. Hatch to do. Be patient.

24 MR. HATCH: And it is Page -- well, they're cut off
25 at the bottom of my copy. It looks like Page 3 and 4 of his

1 rebuttal and Page 5. Actually, it's really on Page 5.

2 CHAIRMAN JABER: "Requiring the ALEC pay for
3 collocation elements upon completion is consistent with how
4 Sprint incurs the cost of building the collocation elements."

5 Mr. Hatch, everything on Page 5 goes to the
6 construction, how the cost is assessed, and quickly as I look
7 at Page 4 and recall the testimony from yesterday, again, it
8 goes to how the costs are followed, the installation labor, but
9 here's what I'm going to do. Ms. Masterton, you need to know
10 I'm very interested in the answer to that question as well. So
11 I would ask that you cover it in the brief.

12 MS. MASTERTON: Sure. We will do that, Commissioner.

13 CHAIRMAN JABER: And the question, as I understand
14 it, is, does Sprint have an objection to a CLEC's certified
15 vendor --

16 MR. HATCH: It would be the ILEC's certified vendor,
17 Madam Chairman.

18 CHAIRMAN JABER: Okay. The ILEC's certified vendor,
19 what?

20 MR. HATCH: Performing work on behalf of CLECs to do
21 collocation installation work.

22 CHAIRMAN JABER: Do you have any questions about
23 that, Ms. Masterton?

24 MS. MASTERTON: I'm trying to make sure I got it all
25 down. Does Sprint have an objection to the ILEC-certified

1 vendor performing work on behalf of the CLEC; is that right?

2 MR. HATCH: I believe that's correct. That would
3 work.

4 CHAIRMAN JABER: And as the day goes on, if you feel
5 like you need more guidance or direction, because I do want
6 that covered in the brief, why don't you and Mr. Hatch talk
7 about it?

8 MS. MASTERTON: Okay. That's a good idea.

9 CHAIRMAN JABER: Okay.

10 BY MR. HATCH:

11 Q Mr. Davis, what is the largest fuse capacity size for
12 Sprint at a BDFB?

13 A 60 amps.

14 Q 60 amps?

15 A Yes, sir.

16 Q Can a CLEC place its own BDFB in a collocation space
17 in a Sprint central office and tie directly to your power
18 distribution board?

19 A We don't have an element for that at this point, but
20 I suppose we could work that out.

21 Q What are your fuse size limitations, if any, on your
22 main power board? Do you know?

23 A In terms of our cable connection offerings that we
24 have, we go up to 200 amps.

25 Q Okay. Now, going back yesterday to our discussion, I

1 believe you used an example of a thousand amp power plant and
2 then when a CLEC requests, say, 50 amps of power. Is it your
3 position that Sprint -- well, strike that.

4 What happens when a CLEC orders 50 amps of power is
5 that currently then with that order Sprint would install a
6 cable capable of carrying 50 amps of power; is that correct?

7 A That is correct.

8 Q And that would be to the BDFB from the collocation
9 space?

10 A Yes.

11 Q Okay. Now, when a CLEC installs equipment in its
12 collocation space, it will put in, say, one bay. And if it
13 does not fully equip that bay, for example, puts in one shelf
14 and has one card on that one shelf for equipment, will it be
15 drawing 50 amps of actual power?

16 A It will not perhaps at that time. It just depends on
17 the power requirements of the equipment.

18 Q If I put in a bay and the bay is designed for 50 amps
19 of power, so if I put in a shelf of equipment and I don't fully
20 equip that equipment, then it would be drawing less than
21 50 amps of power; is that correct?

22 A Well, first of all, when you decide how large of a
23 service to request, I'm presuming that you're looking at the
24 requirements of your equipment and you're deciding, well, for
25 now I want to go ahead and order this amount, you know, at

1 50 amps, but I know that I'm not going to be drawing that much
2 initially. This gets to the very root of this issue in terms
3 of where Sprint is coming from on this.

4 If you look at Mr. King's rebuttal testimony on
5 Page 19, he goes into an explanation of where they went out and
6 did an audit on some BellSouth offices, and he talked about
7 having 18,000 fuse amps of power, you know, represented by the
8 fuses that they have in that office. And he used a BellSouth
9 calculator multiplier to .666 to equate that to 12,000, I
10 suppose, load amps. Even though he didn't call them load amps,
11 that's essentially what they are based on the use of that
12 multiplier. And then he says that, well, we're only using
13 about 667 amps out of the 12,000 load amps or 18,000 fuse amps.
14 Well, that's only a utilization of 5.5 percent.

15 The thing that we -- I feel like we need to address
16 here is that tremendous gap that AT&T has presented in the
17 facts that they have put in this rebuttal testimony. Utilizing
18 only 5.5 percent of DC power that has been ordered is really
19 not responsible in terms of proper management of resources.
20 BellSouth has had to provision 12,000 load amps. AT&T only
21 wants to pay for 667 of those amps. And BellSouth is being
22 left holding the bag for the remaining investment behind that
23 power plant that AT&T is not willing to pay for up front.

24 Now --

25 COMMISSIONER DAVIDSON: I have a question here,

1 Chairman, one, I've forgotten Mr. Hatch's question.

2 MR. HATCH: So did I.

3 COMMISSIONER DAVIDSON: But, too, I'm wondering,
4 you're testifying as to BellSouth's position and --

5 THE WITNESS: I'm testifying about -- I'm reading the
6 rebuttal testimony of Mr. King, and I'm saying that the facts
7 that are presented in that testimony is the core, I think, of
8 what this issue truly is, that AT&T orders way too much power,
9 and then they don't want to have to pay for it all. And that's
10 just --

11 CHAIRMAN JABER: Mr. Davis, you interrupted the
12 Commissioner's question.

13 THE WITNESS: I'm sorry.

14 CHAIRMAN JABER: Why don't we let the Commissioner
15 ask his question.

16 COMMISSIONER DAVIDSON: Really, I'm interested in the
17 points you have to make, but vis-a-vis Sprint, either Sprint's
18 experience with AT&T or Sprint's experience with BellSouth
19 perhaps but not so much BellSouth's experience with AT&T. I
20 just -- I'm wondering sort of what your point is here.

21 THE WITNESS: Well, yesterday, there was a handout
22 and I did get a chance to look at that a little bit, and this
23 gap between what an ALEC is using as opposed to what they
24 ordered just seems to be too wide. One of the things we need
25 to address in this and, really, a way to solve this problem --

1 COMMISSIONER DAVIDSON: Well, on that let me
2 interrupt again. I mean, I don't mean to cut you off you, but
3 you had testified just a moment ago you weren't at all a policy
4 person. So in terms of sort of a broad gap generally between
5 what AT&T orders, I mean, talk to any gap that you may have
6 experienced with AT&T's orders at Sprint, but to go beyond that
7 seems to me to go into a broader policy area that you just said
8 you weren't competent to testify to.

9 THE WITNESS: Well, I can testify to the impact on
10 the costs of allowing a gap like that to continue.

11 COMMISSIONER DAVIDSON: Sprint's cost?

12 THE WITNESS: Yes, sir.

13 COMMISSIONER DAVIDSON: Okay.

14 THE WITNESS: If that gap is carried over to Sprint's
15 network utilizing only 5.5 percent of the plant, and we talked
16 yesterday about, well, we could adjust the rate of DC power
17 plant consumption, that rate per amp, to allow for lower
18 utilization, well, this relationship depicts that AT&T has
19 ordered 18 times more power than it needs. And if we were to
20 take our load amp rate and multiply it times 18, we would wind
21 up with a rate of, like, \$290 and that, of course -- per amp,
22 and that, of course, is not realistic, but neither is
23 underordering or underutilizing DC power to the extent that
24 what I see in this testimony.

25 And I don't have an example of AT&T, what they have

1 ordered in a Sprint office as opposed to what they're using. I
2 don't have those facts. I am using the facts that were
3 presented in testimony to draw this inference.

4 COMMISSIONER DAVIDSON: Thank you.

5 CHAIRMAN JABER: Commissioner Deason.

6 COMMISSIONER DEASON: Listening to your testimony and
7 the testimony yesterday, it just strikes me that the crux of
8 the issue may be that there is a certain amount of cost
9 associated with infrastructure to meet the demand if and when
10 it ever develops based upon the order placed by the CLEC and
11 the actual energy consumption of the equipment and the timing
12 of that, when that begins when they grow into it, and there
13 just seems to be a disparity between what is the infrastructure
14 costs and the energy costs. And I asked the same question of
15 the BellSouth witness and I ask you the same.

16 Have you attempted to negotiate with the CLECs or
17 have you offered any type of option which would split out
18 infrastructure costs from usage costs, realizing there may be
19 some metering costs involved, but if you recover your cost,
20 present that option? First of all, is that something that can
21 be done? Are you willing to do it? Are there some unknown
22 difficulties associated with that?

23 THE WITNESS: In terms of how we negotiated that type
24 of agreement, we have not. And I want to make sure that I
25 respond to each part of your question there. Is it feasible to

1 do so? Can you take the DC power amp -- rate per amp and
2 divide it into the DC power infrastructure as opposed to the AC
3 power consumption? Yes, you can. And I testified yesterday
4 that the split is about 80/20.

5 In terms of what you would do with each piece part
6 once you have that separated -- and shall I go on, or am I
7 answering your question --

8 COMMISSIONER DEASON: No. Please proceed. You're on
9 point.

10 THE WITNESS: All right. Let's look at the
11 80 percent component for a moment. That 80 percent component
12 of the DC power rate per amp, you begin with a DC power plant
13 investment per amp. And yesterday, I testified that -- let's
14 say, that that's around \$500 per amp. One of the suggestions
15 was, well, what if we were to charge that entire cost up front?
16 Well, if you take the \$500 per amp and if they've ordered
17 50 amps, you're talking about a \$25,000 investment up front.
18 That would be the basis of the NRC that we're talking about.
19 That's a very large hurdle for an ALEC to deal with in terms of
20 trying to get into the business and that sort of thing.

21 What we have is an MRC where they can order power,
22 say, 50 amps. They get the benefit of having 50 amps' worth of
23 a DC power plant at their disposal, but since they have ordered
24 and said I want 50 amps, it's like they have a 50-amp power
25 plant. It's like they have built a 50-amp power plant for

1 their collocation, but they don't have the NRC, they don't have
2 the investment costs up front. What -- the opportunity that
3 the ALEC has is that they can pay --

4 COMMISSIONER DEASON: Mr. Davis, I'm going to
5 interrupt at this point.

6 THE WITNESS: I'm sorry.

7 COMMISSIONER DEASON: I understand that.

8 THE WITNESS: Okay.

9 COMMISSIONER DEASON: And what I hear you saying is,
10 is that, with all due respect, it's like you know better what
11 the CLEC needs than what the CLEC is asking for. My question
12 is a simple one. Have you sat down with them, tried to address
13 their needs and structure something? Even though you think
14 that it may be asinine and uneconomic and ridiculous, it's
15 their business. And can you put together something that would
16 meet their needs, even though you think it's not the right
17 thing for them, it would meet their needs and recover your
18 costs, present that as an option? And then we could all just
19 go away from this issue.

20 THE WITNESS: I do have a solution I'd like to share.

21 COMMISSIONER DEASON: Please do.

22 THE WITNESS: Okay. One of the things that the ALECs
23 were alluding to has to do with the cost of size in cable.
24 Now, should an ALEC go ahead and rightsize the power up front,
25 so to speak? Then one of the costs that they're going to bear

1 is putting in the DC power cables that deliver the power to the
2 cage. And you were asking me about that just a few minutes
3 ago, Mr. Hatch.

4 One of the solutions to -- that I feel like should be
5 considered here is that an ALEC can go ahead and up size that
6 cable up front based on some planned or future needs, but then
7 when they request DC power from the ILEC, adjust that amount or
8 request down somewhat to better fit their current needs with
9 their business up front. And then as their business grows,
10 they can then go back and apply for additional DC power, and
11 subject to having the available capacity, all we would have to
12 do is go in and increase that fuse a little bit.

13 For example, let's say --

14 CHAIRMAN JABER: On that point, one of the things we
15 heard yesterday is when they go back and ask for additional DC
16 power it's a 12- to 18-month process. Can you confirm or deny
17 that?

18 THE WITNESS: In this situation, it would not be
19 because what we're saying is their cable would already be sized
20 large enough to allow a larger fuse. And so they would apply
21 for the power, and say, okay, I'm now ready to move up from,
22 say, 30 amps to 60 amps or whatever. They fill an application
23 out, and they say on the application, and I want 60 amps. Our
24 engineering looks at it to make sure that the DC power plant
25 capacity will handle the extra 30 amps and they change out the

1 fuse.

2 CHAIRMAN JABER: So how long is that process?

3 THE WITNESS: Well, that shouldn't take but just a
4 matter of weeks, I mean, a couple weeks or so. And they should
5 have plenty of lead time in terms of knowing that they're going
6 to need that extra capacity to submit that application ahead of
7 time and, you know, work with us on the interval.

8 CHAIRMAN JABER: And this is the first time you
9 proposed that as a solution to their request?

10 THE WITNESS: Yes, it is. And we haven't tried to
11 negotiate the solution with CLECs or anything like that. But
12 it is something we feel is workable. That way when they order
13 their DC power up front, they're ordering on a level that's
14 more commensurate with their current needs. And then as they
15 grow, they can increase fuse sizes, and they don't have nearly
16 the cost associated with increasing fuse sizes as they would
17 adding, say, DC power cables and things like that.

18 And then the benefit of that, of course, is that
19 Sprint does not have to go out and oversize DC power plant. We
20 don't have to build 12,000 amps when they only need 600. And
21 the ALEC doesn't -- you know, and we don't have to
22 appropriately pass that cost along to the ALEC and the ALEC
23 does not bear all of that cost. They only bear the costs
24 associated with DC power that's closer to their needs, and they
25 can grow a lot more cost-efficiently this way.

1 CHAIRMAN JABER: Commissioner Deason, did you have
2 any other questions?

3 COMMISSIONER DEASON: Well, I would just -- I know
4 this is extremely short notice, but if Mr. King is here, and I
5 assume that he is, maybe he could respond to that in some
6 manner, either in his summary or on redirect or in some
7 fashion. I'd like to hear what AT&T's response to that
8 proposal would be.

9 CHAIRMAN JABER: Mr. Hatch, you've heard the request.
10 I think that would be beneficial to all of us.

11 THE WITNESS: And I would like to point out,
12 Mr. Hatch, you were asking me earlier about a fuse size on a
13 BDFB, and there are technical limitations to what I'm saying.
14 The BDFB will go up to 60 amps. So certainly within the
15 confines of a BDFB, they can oversize the DC power cable and
16 grow the fuse until they reach that load.

17 CHAIRMAN JABER: Mr. Davis, I have to tell you just
18 because we are in a hearing process and we anticipate making a
19 decision on this shortly after the hearing does not mean that
20 you cannot sit down with the parties represented here and try
21 to continue to work on solutions. This Commission welcomes
22 negotiation and, frankly, is frustrated, speaking for myself --
23 I really shouldn't speak for everyone else. I get frustrated
24 when we sit through hearings like this and solutions get
25 proposed from the Bench, and I find myself wondering why you

1 couldn't have had this conversation last week or the week
2 before. That's not to say we're not here and willing to hear
3 the testimony, and we're certainly not shy about doing our job.

4 But as a Commissioner, speaking for myself, there is
5 nothing more frustrating than sitting here listening to the
6 cross-examinations and hearing solutions through cross. And
7 I'm not the smartest person in the world. If I can hear a
8 solution, I find myself wondering why you all can't propose it
9 earlier.

10 THE WITNESS: Yes, ma'am, I understand. And my only
11 response to that could be that this meeting issue really came
12 up on us pretty fast for this particular hearing.

13 CHAIRMAN JABER: See, but that's the whole purpose of
14 discovery. Anyway, that's my five minutes of venting. Let's
15 move forward.

16 Mr. Hatch.

17 And the practitioners -- I should really not direct
18 this just at you. Practitioners have a role to play here.
19 Discovery at a hearing is not the place for discovery. I mean,
20 we do have two other attorneys here.

21 And, Mr. Hatch, you know this as well as I do. Don't
22 do discovery at a hearing, do cross-examination at a hearing.
23 Go ahead. That's to everyone, not just Mr. Hatch.

24 BY MR. HATCH:

25 Q With respect to your most recent proposal that was

1 just discussed with the Commissioners, does that -- correct me
2 if I'm wrong, that equates to a fuse-based proposal? We would
3 be paying some charge based on fused amps?

4 A Oh, no, sir. You would still be charged for your DC
5 power based on what you put on your application.

6 Q Now, let's talk about your application. When I put
7 in a collocation application, you request my power
8 requirements, but you request List 2 drain for my equipment; is
9 that correct?

10 A My understanding is we simply asked you for how much
11 power you want to buy, how much power you want to order. We
12 don't tie it to List 1 or List 2 drain. It's up to you.

13 Q Now, when you say a "load amp," are you talking about
14 List 1 or List 2 drain or something different?

15 A What we're talking about is how much power you want
16 to order. I mean, you can look at List 1 and List 2 and figure
17 that out and put a number on the application, and we would
18 provision the amount of power that you put on your application.
19 Of course, you have engineers. You know that List 1 and List 2
20 play a role in that.

21 Q So what you're suggesting for us is that we take the
22 actual load of the equipment we have today and report that and
23 that's how you would charge us?

24 A What I'm suggesting is that you determine how much
25 power you need based on where you are and where you want to

1 grow in some interim period of time, and you obviously have to
2 look at the equipment needs that you have, and you tell us how
3 much power you want. Let us provision the power for you and
4 then perhaps use this alternative solution I mentioned a few
5 minutes ago to allow you to grow more cost-efficiently as your
6 needs change.

7 Q When Sprint puts in a bay for equipment for expansion
8 in a central office, does it cable it and fuse it at the
9 maximum power size for that bay?

10 A When we put in a bay of our own equipment?

11 Q Yes.

12 A Of course.

13 Q But you don't charge yourself for the power that you
14 are requesting, simply for the power that you draw. Would that
15 be a fair assessment?

16 A Sir, we incur the cost of the DC power plant.

17 Q So based on your proposal then it seems like for
18 every card that I would add to my collocation rack or to my
19 shelf, I would have to go to you and request an increase in
20 power; is that correct?

21 A What you can do is do sort of an economic study. I
22 mean, and -- because that's something you would need to do
23 anyway in terms of meeting your business needs. If you're --
24 again, if you were not in the CO and you had to go out and
25 build your own power plant, you would have to do some kind of

1 analysis of how much power do I need know and how much power do
2 I need in the future, what's the cost associated with
3 increasing that power and so forth. So that's the same thing
4 you would need to do in this situation, is sit down, determine
5 how much power you want, and how long would that power last
6 you, and that at what point in the cycle of your business do
7 you need to increase that power.

8 Q So under your proposal, every time I'd request an
9 increase in some incremental piece of power, I'd have to file
10 an application, pay you an application fee, and pay for the new
11 fuse size?

12 A And these are minor augments.

13 Q But I might have to pay a fee for each one of those?

14 A Sure.

15 Q Let's go back to an example that you were talking
16 about yesterday in terms of power plant sizing. Let's assume
17 for a moment that Sprint has a current demand for a central
18 office power plant of a thousand amps -- or, I mean, take that
19 back.

20 Let's say it's 700 amps. That's your current total
21 demand for day one. Now, in terms of building a power plant
22 for a central office, you would build it for your current
23 demand plus your projected demand; is that correct?

24 A That's correct.

25 Q So you would build that power plant over your

1 projected time frames, call it three years for just example
2 purposes.

3 A As an example, sure.

4 Q And so you would build a power plant that produces a
5 thousand amps; is that correct?

6 A Correct.

7 Q Now, when you talk about building a power plant,
8 you're talking about putting in rectifiers and batteries
9 essentially; is that correct?

10 A Sure and other parts, but yes.

11 Q You would have a backup AC generator and that sort of
12 thing?

13 A Sure.

14 Q What other parts would be involved --

15 A Well, there's cabling. There would be cabling
16 between the main power room, which would be a primary fuse
17 board into the BDFB, use the BDFBs themselves. You would have
18 AC entrance investment as it's coming into the building, all
19 the infrastructure necessary to tie the generator into the
20 system, bus bars, these huge copper bars that are really tall
21 and thick that run throughout the office to carry these
22 enormous amounts of power.

23 Q Now, when you build your thousand-amp power plant but
24 today you're only using 700 amps, that gives you 300 amps of
25 basically spare capacity; is that correct?

1 A Only for a very short period of time because you're
2 getting very close to that point in time when we would trigger
3 an addition. I mean, once we reach some level of capacity
4 need, that's going to trigger a process of planning, designing,
5 and building additional power plant.

6 Q Now, do you base that capacity need -- well, strike
7 that.

8 So with that spare capacity, you've got room to add
9 additional equipment before you have to build a new plant?

10 A Sure.

11 Q Okay. So if I'm a CLEC and I come in and I order
12 50 amps of cable size, essentially a connection that would
13 carry 50 amps, and then you would put a fuse on that connection
14 that would be one and a half to two times my electrical power
15 requirement; is that correct?

16 A No. Our fuse size increments are --

17 Q One and a quarter to one and a third I think is --

18 A That's correct.

19 Q I'm sorry. I take that back.

20 But I'm only actually drawing 5 amps. So for
21 purposes of the output of your power plant, you still have
22 295 amps of capacity left; is that correct?

23 A In terms of what you're drawing perhaps, but I don't
24 know that. I mean, you've ordered -- what I do know is that
25 you've ordered 50, and I have to take the 50 that you ordered

1 into account when I take away and look at my remaining margin.
2 That's going to trigger an addition.

3 Q You don't dedicate a battery or a rectifier to a
4 CLEC, do you?

5 A Not specifically, but we dedicate the capacity to
6 you. I mean, the 50 amps that we dedicate to you is out of the
7 picture, and we no longer have that 50 amps available for our
8 own equipment or any CLEC's equipment.

9 Q Now, if you're doing it based on the way you propose
10 it, if you've got 300 amps -- assume my example, 300 amps of
11 spare capacity. You get three LECs that come in to the central
12 office; they each request 100 amps. You're telling me that you
13 would build a new power plant because that power plant would be
14 exhausted?

15 A Absolutely. I mean, and that's what we're saying
16 here, is if an ALEC comes in and orders way too much power, if
17 they sit down and say, I need a hundred amps, and they're only
18 going to use a few, we've got to take that hundred amps into
19 consideration in terms of, do we need more DC power plant
20 capacity? And what's happening today is, since ALECs are
21 overordering power so much, that, you know, we do have to build
22 that plant. And that's not necessary if an ALEC and anybody
23 else that uses DC power is more conscious of the amount of
24 power they truly need today.

25 CHAIRMAN JABER: Mr. Davis, is there a way to address

1 your concern by requiring a CLEC to give you a proposed
2 schedule or giving you flexibility to come back and question
3 the CLEC's needs?

4 I hear what you're saying. I mean, just in layman's
5 common sense terms you're saying you've got to be able to plan.
6 There is a responsibility once a request is made by a CLEC for
7 you to meet that capacity. You plan for that capacity. I
8 understand that. But maybe, you know, the economic conditions
9 we live in today are not what the CLEC expected a year ago when
10 they made the request of you. It seems like you're being rigid
11 in not coming back to the CLEC and say, hey, do you really need
12 this 250-amp capacity, or can we use it? Can we renegotiate
13 your needs? Maybe the onus should be on them. Help me figure
14 out what --

15 THE WITNESS: Absolutely. I think the onus should be
16 on the ALEC. They have engineers. AT&T, gosh, they're in the
17 communications business and have been so much longer than
18 Sprint, much larger than Sprint. They understand how to do
19 this business.

20 CHAIRMAN JABER: All right. Well, Mr. Davis, let me
21 work with that. Let's say the onus should be on them. What is
22 it you need? Would it help you to have a more definitive
23 proposed time schedule for using the capacity, and what would
24 you propose that be, that they should tell you what their needs
25 are a year out or should it be six months out?

1 THE WITNESS: Well, in terms -- it would be great to
2 have that forecast. I do believe we try to work with them on
3 that forecast. But one of the things that we have found -- I
4 mean, I shared yesterday that we started out with 289 collos,
5 and we're down to 140-some I believe it is. We've had,
6 unfortunately, ALECs to go out of business, and they provided
7 us a forecast of power that they never did achieve.

8 So another advantage of this particular means of
9 doing this is that it requires us to supply DC power plant in
10 much smaller increments, and we in the future would run less
11 risk of having, you know, overcapacity that we couldn't use.
12 But I do believe we try to work with an ALEC on their
13 application in terms of -- in fact, we spend quite a bit of
14 time talking to them about, what are you really asking for
15 here? You know --

16 CHAIRMAN JABER: Then if you do that up front, if
17 you're doing it right now, then I guess you've shot your own
18 concern, you've really diluted --

19 THE WITNESS: But I don't know --

20 CHAIRMAN JABER: -- your whole concern.

21 THE WITNESS: Excuse me. I'm sorry.

22 CHAIRMAN JABER: I guess I'm sort of saying the same
23 thing Commissioner Davidson said yesterday. I really cannot
24 get my hands around your concern and how to address your
25 concern because you haven't shown us the extreme that you want

1 us to see.

2 Yeah, there are CLECs that have gone out of business,
3 but there are CLECs that have survived. And I think the
4 parties that are at this table are -- you know, they're
5 credible and I think they have shown you that they're trying to
6 work with you. And I've asked you yesterday and today what is
7 it you need from this Commission, and I don't get an answer.

8 THE WITNESS: Okay. What we need from the Commission
9 is to continue to enforce that an ALEC pays for the power that
10 it orders, and that should put them in a position where they
11 are being responsible in terms of how much power they ask for
12 and put them in a position of working with us closer on making
13 sure that their power needs are rightsized.

14 CHAIRMAN JABER: And I thought you just told me that
15 you are working with them closely --

16 THE WITNESS: And we're asking the Commission to
17 reinforce that in terms of how the rate is developed and how
18 the rate is supplied, that an ALECs should pay for the power
19 that they order. And with the Commission doing that and
20 backing that, it puts us in a position of working with the
21 ALECs much, much better. Because if we go to metering, what's
22 going to happen is, ALECs, they're not going to have any
23 conscience about how much power they tell us they need.
24 They're just going to say, just give me a hundred amps, and
25 they're not going to worry about how much they truly use. And

1 so we're going to have to go out and provision that hundred
2 amps. Whereas, this way, if they know they have to pay for the
3 amps that they order, they're going to think twice about
4 ordering a hundred amps. They're going to order 30 or 40 or
5 whatever they -- something closest to their true need and then
6 grow with us using this proposal, perhaps.

7 CHAIRMAN JABER: Well, you've said a lot and I want
8 to go one by one. You've got record evidence that these CLECs
9 right here have not cared about what they have requested from
10 you?

11 THE WITNESS: No, ma'am, I do not.

12 CHAIRMAN JABER: Okay. Let's take the second point.
13 All you need from us is language that reinforces basically good
14 behavior between your company and good negotiation and
15 communication between your company and these CLECs such that we
16 would say, we would encourage the CLECs to provide more
17 accurate forecasts when they are requesting power from the ILEC
18 and be cognizant of the costs that are incurred when they
19 request power. That's a good thing.

20 THE WITNESS: That's a good thing. And I would add,
21 if I could --

22 CHAIRMAN JABER: Go ahead.

23 THE WITNESS: -- that to pay for the power that they
24 order, to give them the economic incentive to do what you just
25 said, to be conscious about this. Because, again, as I was

1 saying yesterday, when they order 50 amps of power, it's like a
2 50-amp DC power plant.

3 CHAIRMAN JABER: Okay. And that was going to be my
4 third point. You want us to address what it is they'd be
5 paying for exactly. You have a lot of questions about
6 metering. You've acknowledged, and prior witnesses have
7 acknowledged, that the infrastructure costs and true power
8 costs can be separate. If that's a showing that we ask of you
9 in our order, you can present the costs associated with
10 metering the true power costs. I think you've acknowledged
11 yesterday and today that that can be done.

12 THE WITNESS: Well, metering is not going to solve
13 the issue of --

14 CHAIRMAN JABER: That's not what I asked you.

15 THE WITNESS: I'm sorry.

16 CHAIRMAN JABER: Let's focus on what I asked you.

17 THE WITNESS: Okay.

18 CHAIRMAN JABER: You can do it. If the Commission in
19 its infinite wisdom wants to pursue the notion of metering, you
20 can do it.

21 THE WITNESS: Yes, it's technically feasible.

22 CHAIRMAN JABER: Now, we need to explore the cost.

23 THE WITNESS: Okay.

24 CHAIRMAN JABER: You have not presented a comparison
25 of what it would cost to include metering as a factor versus

1 your argument that, pay for what you order, which might include
2 DC and AC. You have not presented those comparisons to the
3 CLECs; correct?

4 THE WITNESS: That is correct, not to the CLECs, but
5 we can talk about it in general terms.

6 CHAIRMAN JABER: If this Commission were to require
7 you to do it, you could do it.

8 THE WITNESS: To present the costs to the CLECs, yes,
9 ma'am.

10 CHAIRMAN JABER: Okay.

11 Mr. Hatch.

12 COMMISSIONER DAVIDSON: Chairman, I have a follow-up
13 to your question.

14 CHAIRMAN JABER: Commissioner Davidson.

15 COMMISSIONER DAVIDSON: From Sprint's standpoint,
16 what would be the cost to Sprint of provisioning 20 amps of DC
17 power versus 50 amps of DC power versus a hundred amps of DC
18 power?

19 THE WITNESS: That gets back to the investment per
20 amp multiplier that I mentioned, and let's suppose that that's
21 \$500. Then your three examples again -- I'm sorry. The
22 first example was?

23 COMMISSIONER DAVIDSON: Twenty, 50, and a hundred.

24 THE WITNESS: Okay. Twenty times the \$500 per amp,
25 you're looking at \$10,000; 50 amps times the 500 amps would be

1 \$25,000; and the 100 amps times the \$500 per amp would be
2 \$50,000.

3 COMMISSIONER DAVIDSON: Wouldn't the imposition --
4 strike that.

5 That would be just the infrastructure cost, correct,
6 and not the actual monthly charge for power usage?

7 THE WITNESS: That is correct. That's the DC power
8 plant investment.

9 COMMISSIONER DAVIDSON: Doesn't that cost increase by
10 amp act as a motivator, so to speak, for the CLECs? It's hard
11 to imagine a company agreeing to pay \$50,000 for a hundred amps
12 when they just know right now they're only going to use
13 20 amps. I mean, maybe they would, but from the CLEC's
14 standpoint that doesn't look like a very rational business
15 decision. So it looks as if the pricing of the infrastructure
16 sends the signal to the CLEC. And, frankly, if a CLEC thinks
17 that it may use a hundred a year from now but it's only going
18 to use 20 right now, why shouldn't that be the CLEC's choice if
19 they're paying Sprint, making Sprint whole to simply decide,
20 you know, we want a hundred amps provisioned now? We think we
21 would use that.

22 THE WITNESS: Well, I won't express an opinion about
23 whether I think that's wise because I was cautioned about it a
24 minute ago. But, yes, they could do that, and they have done
25 that, I'm sure, is asked for a hundred amps when they don't

1 need a hundred amps. Yeah.

2 COMMISSIONER DAVIDSON: And if they ask for a hundred
3 amps, you're going to ask for \$50,000; correct?

4 THE WITNESS: We're going to build \$50,000 worth of
5 plant, and we're going to charge them a monthly recurring
6 charge that will get us cost recovery on that \$50,000.

7 COMMISSIONER DAVIDSON: Over what period of time
8 typically?

9 THE WITNESS: Well, it's depreciation life associated
10 with digital switching equipment.

11 COMMISSIONER DAVIDSON: Which is roughly?

12 THE WITNESS: It's going to be, say, 10 to 12 years.

13 COMMISSIONER DAVIDSON: To your knowledge, has Sprint
14 provisioned DC power plant infrastructure, any DC power plant
15 infrastructure for which it is not recovering cost? Has it
16 built something at the request of a CLEC that hypothetically
17 has just gone out of business and it's not been able to sell to
18 another user? Are you all incurring costs, to your knowledge,
19 for what you would deem to be unreasonable requests for DC
20 power plant investment?

21 THE WITNESS: Back in -- I think it was January when
22 we went on some tours of central offices. They were two Bell,
23 two Verizon, two Sprint offices. And the two Sprint central
24 offices we encountered newer DC power plant investment where
25 the power plant rooms had to be increased in size. And also,

1 in both of those offices, just like anywhere else, we had some
2 ALECs that had abandoned their collocation. So you would
3 presume, yes, sir, absolutely, that there is capacity there
4 that we're not receiving recovery for at this time.

5 COMMISSIONER DAVIDSON: Well, I don't want to
6 presume, and I know it's tough, as you sit here on the Bench,
7 to maybe have all the information to answer this question, but
8 I think it is useful information to know whether there have
9 been unreasonable requests in the past. I mean, is this
10 concern you have arising out of some bad experience Sprint has
11 had with a CLEC requesting an unreasonable amount of power in
12 Sprint's view and then Sprint having to bear the burden of
13 that?

14 THE WITNESS: I have no doubts we can identify cases
15 of that, sir.

16 CHAIRMAN JABER: I'm sorry. I didn't hear --

17 COMMISSIONER DAVIDSON: Could you repeat that?

18 THE WITNESS: I have no doubts that we could present
19 that type of evidence.

20 CHAIRMAN JABER: Why didn't you include it in your
21 testimony? I mean, that would be compelling.

22 THE WITNESS: Yes, ma'am, I understand.

23 CHAIRMAN JABER: Are these new developments?

24 THE WITNESS: No, ma'am. Again, the metering issue
25 seemed to pop up on us and move up on us pretty quick.

1 CHAIRMAN JABER: No, I don't think we're talking
2 about the metering issue, though. I think the question was,
3 can you point to examples where Sprint has had to incur a cost
4 or fail to recover a cost because an ALEC asked for power and
5 then went out of business?

6 THE WITNESS: Well --

7 CHAIRMAN JABER: Was that -- I don't want --

8 COMMISSIONER DAVIDSON: That was it. I basically was
9 sort of wearing Sprint's hat for a moment. I would be
10 concerned if my experience was that we had provided 500-amp DC
11 power plants for five different CLECs and four of those went
12 out of business in year one, but I haven't seen any evidence of
13 that. So that's really my question. To what extent has Sprint
14 paid the price for some type of default on what you deemed or
15 what Sprint would deem to be an unreasonably high DC power
16 plant investment?

17 THE WITNESS: Yes, sir, I understand. And I don't
18 have those facts in front of me. And I can understand that
19 that would certainly be compelling. And we did talk about in a
20 discovery response about, you know, ALECs that -- where we
21 started and so many have gone out of business, and intuitively
22 you would expect there would be some infrastructure there where
23 the cost is not being recovered, but we didn't give you the
24 details, and I don't have them with me.

25 CHAIRMAN JABER: And, Commissioner Davidson, I'm

1 assuming you're asking Florida-specific examples as well.

2 COMMISSIONER DAVIDSON: Yes. Well, Florida-specific.
3 And I would be interested in other examples just to know where
4 Sprint is coming in on this. I mean, it's hard to figure out
5 in this market where things are going and where different
6 stakeholders are going to end up. I think it would also be
7 not -- beyond the realm of possible for a CLEC to request a
8 50-amp DC power investment in year one, use 50 amps for
9 11 months of year one, and then due to unforeseen
10 circumstances, a change in market conditions, a change in their
11 business model, go out of business in the 12th month of year
12 one. And you would be faced with the same type of scenario.

13 And my follow-up question is, is there any type of
14 financing arrangement, are there any other sort of incentives,
15 requirements, terms and conditions that can be brought into the
16 transaction -- and I think you address some of these in your
17 model -- that would provide assurances to Sprint that if a
18 company is using only 20 amps of DC power monthly, you've
19 provisioned 50, they're only using 20, that you don't have any
20 additional concerns?

21 THE WITNESS: If they order 50 -- and I believe this
22 is responsive to the question. If it's not, please let me
23 know. If they order the 50 and pay for the 50, then we are
24 made whole on terms of what they have requested.

25 COMMISSIONER DAVIDSON: Well, but you're not made

1 whole if they order the 50 and they pay for the 50 for one year
2 and go out of business.

3 THE WITNESS: That's correct.

4 COMMISSIONER DAVIDSON: So how is that situation any
5 different than if they order 50, pay you for the 50 in
6 infrastructure, and then pay you monthly for actual power used,
7 the CLECs having incurred the cost of metering and whatever
8 else might be necessary to measure that monthly, how would
9 Sprint not be made whole in that scenario? And let's make it
10 more precise.

11 Assume two CLECs. CLEC 1 orders 50 amps. Sprint
12 charges 50 amps. CLEC 1 goes out of business at the end of 12
13 months. CLEC 2 orders 50 amps, uses 20 amps, stays in business
14 for 10 years and pays monthly power usage in full and incurred
15 the cost of installing meters or any other equipment that is
16 necessary to measure actual power use.

17 THE WITNESS: Okay. So what I'm hearing you say is
18 the first CLEC comes in, orders 50 amps, and then pays for that
19 through an NRC?

20 COMMISSIONER DAVIDSON: Pays for that 50 amps. You
21 said that cost is recovered by Sprint over a depreciation life
22 of 10 to 12 years. So assume they pay for that 50 amps
23 whatever the monthly billings are for year one, and then they
24 go out of business, and CLEC 2 doesn't go out of business.
25 They pay the whole 10 to 12 years, and they also pay their

1 monthly usage. How would Sprint in that scenario be any better
2 off or worse off than in the first scenario?

3 THE WITNESS: Well, so what I'm hearing -- and I want
4 to make sure I understand and respond appropriately. You're
5 saying one CLEC comes in and orders 50 amps. They use it for a
6 year. A second CLEC comes in and also orders 50 amps and uses
7 it for several years because they stay in business. Both CLECs
8 pay for the DC power plant through a monthly recurring charge,
9 but you're also looking for some other separated cost of AC
10 power.

11 COMMISSIONER DAVIDSON: I'm separating out
12 infrastructure from power.

13 THE WITNESS: Right.

14 COMMISSIONER DAVIDSON: And this will hopefully be
15 the last time I say it.

16 THE WITNESS: I understand that. I'm ready to
17 respond to your question, sir.

18 COMMISSIONER DAVIDSON: Thank you.

19 THE WITNESS: And I'm sorry. Well, as long as there
20 are CLECs that are using 50 amps or using the capacity, yes,
21 we'll be made whole on the DC power plant investment.

22 On the AC, the rate, as we have talked about, can be
23 separated. The AC could be billed based on metered power, but
24 you're talking about 20 percent of the total MRC, which is
25 about \$3.40, which would have to be able to absorb the cost of

1 metering and it may not make it.

2 COMMISSIONER DAVIDSON: Well, but that's for the CLEC
3 to decide, if the CLECs are willing to do that. And my
4 hypothetical gets to the point of where -- I mean, none of us
5 here can forecast where the market is. Just take a look at the
6 401Ks. I mean, we have no idea where it's going, and to the
7 extent possible, I think all of us up here agree that if we can
8 avoid substituting our decision for business decisions, that
9 that is preferable.

10 All right. Thank you.

11 CHAIRMAN JABER: Mr. Hatch.

12 BY MR. HATCH:

13 Q Let's see if I can remember where we were. One quick
14 question. What usage level triggers a power plant expansion
15 for Sprint?

16 A In terms of our cost study, we have an 80 percent
17 utilization rate built into the cost study, which means, in
18 your previous example, for a thousand amp plant, once we hit
19 800 amps, that would start the process of designing and --
20 planning and designing and building a new power plant.

21 Q So, in my example, when you start using 800 amps,
22 when it starts essentially drawing 800 amps out of the power
23 plant, then you'd put in place a mechanism to expand --

24 A In terms of how we've expressed it in the cost study,
25 that's correct.

1 Q Now, in my previous -- in going back to my earlier
2 example, let's see if I can remember it and refresh your
3 recollection a little bit. We had 700 amps of actual usage
4 now. We had one CLEC comes in and asks for 100 amps. Now,
5 that's capacity. Would you agree with that?

6 A Yeah. The 7 close to 100 gets us to that point where
7 we need to start some planning work.

8 Q Now, if that CLEC only uses 10 amps, that would not
9 trigger a plant expansion?

10 A Well, it will trigger a plant expansion because we
11 have appropriated that 100 amps that you requested on your
12 application.

13 Q But if you base your power plant on utilization,
14 which is what you said before, which is usage, then you won't
15 reach 800 amps when you add only 10 more amps of draw. You
16 will only have 710 amps actually being produced -- drawn from
17 the power plant.

18 A Well, you asked me earlier how we fuse our bays and
19 that sort of thing, and we fuse them based on the anticipated
20 full power that that bay is going to draw. I mean, those are
21 the numbers that come out of that 800 amps available, you know,
22 and we don't bill you on fused amps. And again, let me clarify
23 that. But we do have to take into account that amount of power
24 that you're saying that you want to use and you want us to
25 appropriate to you. So that full 100 amps has to come out of

1 that 800-amp pool.

2 Q The answer to that is, only if the full 100 amps is
3 actually being drawn; is that correct?

4 A That is not correct, because the records that we have
5 telling us of the power requirements for that office include
6 your 100 amps. We are provisioning the full 100 percent
7 capacity of what you have requested.

8 Q Let me try this a different way. At Sprint's central
9 office, assuming no CLECs and no collocation, I think you
10 explained earlier that when Sprint puts in a bay, it will put
11 in cabling capacity for the maximum amount of power that bay
12 will draw; is that correct?

13 A When Sprint puts in our own bay, you asked -- yeah.
14 I mean, that's essentially correct, that we're going to fuse
15 that bay to the maximum draw of that equipment.

16 Q Now, if that bay draws no power because there's no
17 live equipment in it at this point, then it's no impact on your
18 power plant?

19 A It is, because we have appropriated power to that bay
20 and that's taken out of our 800-amp pool.

21 Q So you're suggesting to me, if you put in a bay --
22 and the bay, call it 100 amps, just for example purposes. In
23 our example of 700 amps actual usage today, a 10,000-amp plant,
24 so that 10,000 amps is a pool of power that can feed all of the
25 equipment in the central office and all the equipment draws off

1 of it equally, basically; is that correct?

2 A Well, you just went to 10,000 amps. Did you mean a
3 thousand?

4 Q I mean a thousand. I'm sorry.

5 A Okay. So would you repeat your question, please.

6 Q Yeah. Assuming our example of a thousand amps,
7 700 -- a thousand amp plant capacity, it'll put us at a total
8 of 100 amps of power. Current demand is 700 amps today.
9 Sprint puts in a bay and it runs capacity, meaning cable and
10 fuse, to its power board, but if it's drawing no power, it has
11 no affect on that 700 amps and the thousand amp total being
12 produced?

13 A How is the bay fused? How much power is appropriated
14 to the bay? You didn't bring that up.

15 Q Well, if it's a 100-amp feed, call it 125-amp breaker
16 based on your fusing characteristics.

17 A Well, now, with a 125-amp breaker, you're over the
18 800, and definitely it's time to start planning and designing
19 and building a plant.

20 Q Even though you still have 300 amps of power that is
21 not being used?

22 A Well, sir, we wouldn't put in a bay without any --
23 you know, fused a bay without any equipment in it thinking that
24 we're not going to use that bay. We wouldn't put the bay in.
25 We're going to put the bay in, and we know we're going to have

1 equipment there, and so we appropriate power to that bay and
2 take that out of the equation.

3 Q When you put in a bay, do you assume for that bay
4 that you put in -- that you fill every shelf in that bay and
5 every card slot is filled?

6 A It's going to be dependent on how things are fused
7 because that's what the records are. That's how the records
8 are kept on this.

9 Q Now, the power drain off the power plant is going to
10 be based -- the actual drain is going to be based on the
11 equipment you put in that bay; is that correct?

12 A Well, sure.

13 Q So if you put in one card, it will draw a certain
14 amount of power. If you put in another card, it will draw an
15 additional increment of power; is that correct?

16 A Sure.

17 Q But, in our example, it won't draw the full hundred
18 amps of power; is that correct?

19 A It would not initially.

20 Q At some point in its life, as you grow your services,
21 it may approach the full hundred amps of power consumption; is
22 that correct?

23 A Sure.

24 Q Now, based on your example -- or based on your
25 80 percent utilization, you're not going to build additional

1 plant until that bay reaches full 800-amp consumption; is that
2 correct?

3 A I don't agree with that. I mean, the fusing and how
4 the bays are designed and what -- you know, the power that's
5 appropriated to the bay is the driver to this.

6 Q So what you're telling me is you put in a bay and you
7 cable it because of its ultimate capacity of 100 amps. In our
8 example, that will trigger you to build new power plant even
9 though you can supply that full bay -- or supply that bay only
10 partially today?

11 A Well, understand that when we fuse it at a hundred
12 amps it's because we expect to be putting in a hundred amps
13 worth of draw in that bay in short enough order that it would
14 cause us to go ahead and get the planning process going to add
15 capacity. I mean, we wouldn't put a hundred amps on it, we
16 wouldn't put the bay there if we weren't planning to use it.
17 And that's what we're asking the ALECs to do obviously, is, you
18 know, plan to use what you order and order something close to
19 what you need.

20 Q If you're putting in that bay and you expect that bay
21 will be fully utilized over a two-year period, meaning it won't
22 reach anywhere near 100 amps for two years, why would you build
23 a plant now until you reach your 80 percent utilization in two
24 years?

25 A It takes a long time to plan, engineer, and build a

1 power plant. You're talking about time horizons here that
2 could be two years before the plant comes on-line. So we have
3 to be very careful about where we are capacity-wise at a DC
4 power plant. I mentioned yesterday that the DC power plant has
5 to be designed and built to manage the full capacity of that
6 office. We can't share capacity with other DC power -- I mean,
7 a DC power plant has to stand on its own. So we have to be
8 very careful about this and make sure that we are properly
9 managing and planning our capacity needs because it does take
10 such a long time to get a power plant on-line.

11 Q Yes. But if it takes two years to reach the hundred
12 amps of actual consumption, that triggers your utilization
13 threshold. You still have 200 more amps to play with for
14 further growth beyond that before you actually expire in
15 terms -- or exhaust the capacity of that plant, so it's at that
16 point you begin the process to add new plant; is that correct?

17 A Well, I think one of the things that -- I think a
18 problem that we have here is you're trying to hold me
19 specifically to this 80 percent.

20 Q Was that a "yes" or a "no"?

21 A I'm sorry. Repeat the question then.

22 Q It takes two years to build the total capacity of the
23 bay that we're talking about. At the end of that line, that's
24 when it triggers your 80 percent threshold, so you still have
25 200 more amps of power available for consumption, and it's at

1 that point because you have that margin that you then begin the
2 process of building additional plant; is that correct?

3 A Based on the 80 percent utilization -- well, the
4 answer is yes, and that's based on the 80 percent utilization
5 that we have built into the cost study. And I think what -- a
6 problem that we're having here is we're trying to hold too
7 close to this 80 percent that I have actually built into the
8 cost study. That's just a cost study parameter. In terms of
9 the real life and what these guys really do in their DC power
10 plants, they're not going to specifically stick to 80 percent.
11 They're going to do what's practical and what's necessary given
12 all the cost parameters that we were discussing yesterday. So
13 the 80 percent is a cost parameter. It's not a hard-and-fast
14 trigger in terms of what these guys really do with it.

15 Q And that 80 percent threshold, when your guys
16 check -- they will monitor the output of that plant and the
17 drain of that plant; is that correct?

18 A Well, from what I heard it is, but the gauges, as
19 BellSouth Witness Milner testified, these are gauges of how
20 much it's drawing at any point in time, a flash cut type thing.

21 Q I'm assuming that Sprint's power engineers for any
22 given central office responsibility will have a good idea about
23 what the total drain on that plant is at any given time; not
24 with respect to any CLEC, but on a total aggregate basis, they
25 should know pretty closely what the drain is; right?

1 A I expect they would.

2 Q And it's that drain that they measure and monitor
3 that triggers your 80 percent threshold; is that correct?

4 A I don't -- the drain -- well, you're again --

5 Q "Yes" or "no"?

6 A Okay.

7 COMMISSIONER DAVIDSON: Chairman, I want to jump in
8 here. I'm listening to all of this, and I guess I just have a
9 general frustration. While we certainly are going to be in a
10 position to articulate guiding principles, so much of this, it
11 strikes me, can be negotiated between the parties. These are
12 really terms and conditions of agreements.

13 And I think -- Mr. Hatch, I appreciate your concerns
14 and questions, and you're building a record, and I'm not trying
15 at all to suggest that you shouldn't, but so much of this will
16 come out in the actual deal that is struck, deals that
17 hopefully make parties whole, fairly allocate the benefits and
18 the burdens and have the right incentives for good conduct,
19 penalties for bad conduct, dispute resolution provisions. I'm
20 sitting here and just wondering what we're going to do with
21 these types of comments. So that's just a general comment that
22 I offer.

23 CHAIRMAN JABER: Just to give you some feedback, I
24 don't necessarily disagree, but I have to tell you, the last
25 five minutes of questions are giving me a better idea of

1 Sprint's allegation that there is this capacity and impact to
2 them that they can't recover. So I'm getting a better gauge in
3 my own mind of what that impact is.

4 But you raised very good points, and it's what we've
5 been saying all morning. Your questions are good, Mr. Hatch.
6 A lot of this could have come out on discovery. I admonish all
7 the parties. You know it's my pet peeve. Come here and do
8 cross.

9 Mr. Witness, you start with a "yes" or "no." You
10 start with a "yes" or "no." If you think you're being
11 strategic by being difficult answering Mr. Hatch's questions or
12 anyone else, let me tell you, the only person that thinks
13 you're difficult is me and that doesn't help you.

14 THE WITNESS: I understand.

15 CHAIRMAN JABER: Okay. Commissioner Baez, you've had
16 a question?

17 COMMISSIONER BAEZ: (Inaudible. Microphone off.)

18 CHAIRMAN JABER: Mr. Hatch, let's move forward and
19 try to wrap up.

20 BY MR. HATCH:

21 Q Did you recall the question?

22 A No, sir.

23 Q And your answer was?

24 A I don't recall the question.

25 Q Oh, I'm sorry. It's the 80 percent aggregate drain

1 on your central office power plant that your engineers monitor,
2 and it's that 80 percent drain that triggers your plant
3 expansion?

4 A The answer is no, because they don't hold
5 specifically to 80 percent. Eighty percent is a cost
6 parameter.

7 Q What threshold generally would you expect a central
8 office power engineer to monitor to trigger a plant expansion?

9 A In the real world, I'm not sure.

10 COMMISSIONER DEASON: Let me ask a question at this
11 point because it's not clear to me based upon earlier
12 testimony. What triggers expansion? Is it drain, or is it
13 committed capacity?

14 THE WITNESS: My understanding it's committed
15 capacity.

16 COMMISSIONER BAEZ: I had the same question.

17 BY MR. HATCH:

18 Q So in a Sprint central office where there are no
19 CLECs, if you put in five bays because you got a good deal on
20 the equipment, you cable them all for 100 amps, so you're
21 talking about 500 amps, and you expect to fill those bays over
22 time, but based on committed capacity it could trigger a plant
23 expansion even though it could be five years before the full
24 utilization of those bays would be used; is that correct?

25 A That is correct, I mean, because that capacity is

1 appropriated. That's my understanding.

2 Q Why would you do it on committed capacity as compared
3 to actual usage? It seems like you're building more plant
4 faster than you actually need.

5 A Well, it gets back to what we were saying earlier
6 about let's try to rightsize our power needs and that will help
7 a lot in terms of us being able to do exactly what you're
8 suggesting.

9 Q On an efficient basis, you would only add increments
10 to your power plant as you actually need them. Would that be a
11 safe statement?

12 A Yes.

13 Q Based on actual usage?

14 A Well, again, I mean, I was asked a question and I
15 responded to that. It's my understanding that the planning of
16 a DC power plant in terms of the additions is going to be based
17 considerably on how much capacity is appropriated.

18 Q Now, that capacity you're talking about would be
19 based on your actual capacity demands today plus what you
20 project into the future for an incremental addition to your
21 power plant?

22 A That is correct. And also let me add that we don't
23 have such a gap between our actual usage and the plant capacity
24 when we put in bays and whatnot as what I've seen in this
25 testimony by Mr. King.

1 Q So you design your plant based on committed capacity;
2 is that correct?

3 A That's my understanding, yes, sir.

4 Q And you derive that committed capacity based on your
5 fused capacity throughout -- for the entire equipment in the
6 shop -- I mean, in your central office, rather?

7 A That's my understanding.

8 Q So if your entire fused capacity is, say, a
9 thousand amps but your actual drain on your power plant is a
10 hundred amps, you'd still build a new plant?

11 A We wouldn't have that kind of a gap. We wouldn't
12 have that, you know, thousand amps of fuses and only a hundred
13 amps of drain. We wouldn't have that kind of a gap. Our
14 multiplier on fuses is, like, 1.25 to 1.33. You asked me about
15 that and I testified to that earlier. And based on
16 Mr. Milner's testimony yesterday, there's a purpose for that.
17 There's a reason for that, and that has to do with being able
18 to maintain the power needs of equipment in an outage situation
19 to allow -- you know, when the batteries start to drop in
20 voltage, they start at 48, they drop in voltage, the amperage
21 draw on those cables has to go up to compensate so that that
22 equipment can maintain its wattage that it needs. And so it
23 gives room for the amperage to go up before fuses starts to
24 pop.

25 Q That happens only when your power plant is in

1 distress, is that correct, which means that the AC power is
2 off, your DC generator is not running, and the battery voltage
3 is dropping because of power demand?

4 A Things working correctly, that is true.

5 Q So your example you just used would happen in very
6 rare circumstances; is that correct?

7 A It is rare, but it happened to me when I was field
8 manager.

9 Q I just want to make real clear here one thing. You
10 draw a distinction between actual usage and capacity; is that
11 correct? Those are different things to you?

12 A In terms of this proceeding, yes.

13 Q And you build your plant based on capacity, not on
14 usage?

15 CHAIRMAN JABER: Mr. Hatch.

16 MR. HATCH: I'm just trying to make it real clear
17 here.

18 CHAIRMAN JABER: You know, Commissioner Deason made
19 it real clear, and then you asked two more questions about
20 that. Just to give you some comfort level, they build it on
21 committed capacity. I got it. That's all that -- right,
22 Commissioners? Did we not get that point? We got it,
23 Mr. Hatch.

24 MR. HATCH: I'll move on.

25 CHAIRMAN JABER: Thank you. If I get it, anybody can

1 get it.

2 BY MR. HATCH:

3 Q Let's talk about your -- for CLECs you provide an A
4 lead and B lead for --

5 A Correct.

6 Q That's correct?

7 A Uh-huh.

8 Q Now, I believe in your testimony -- I guess if you
9 want to refer to it, it's Page 7, look at Lines 4 through 7.

10 A Direct or rebuttal?

11 Q I believe it's in your direct.

12 COMMISSIONER BRADLEY: Which page is that again?

13 MR. HATCH: Page 7.

14 THE WITNESS: Okay.

15 COMMISSIONER BRADLEY: Excuse me. Which line?

16 MR. HATCH: Lines 4 through 7 is where the basic
17 statement is.

18 BY MR. HATCH:

19 Q Do I draw from your testimony there that you feed all
20 of the power over the A lead, and you don't feed any power over
21 the B lead?

22 A That was the correction I made in my testimony
23 yesterday when I got on the stand. I changed the words on
24 Line 5 "is to" to the word "could," and then I changed the
25 words "is to" to the word "would" on Line 6.

1 Now, whether power flows over the A lead only or both
2 leads or whatever is driven by the vendor's equipment. Some
3 vendor equipment is set up to draw half of its power from each
4 lead. Other vendor equipment is set up to draw everything from
5 the A side and then convert onto the B side only in a case of a
6 failure of the A side.

7 Q And so basically if a CLEC uses equipment with a load
8 balancing provision, it would draw power equally from the A
9 lead and the B lead?

10 A Close to equal, yes.

11 Q But the total power consumption would actually be the
12 same?

13 A That's correct.

14 Q On Page 8 of your direct testimony, if you want to
15 turn there, on 3 and 4, basically you state that Sprint doesn't
16 do DC power metering; is that correct?

17 A That's correct.

18 Q Now, do you do any monitoring on your power plant in
19 the central office?

20 A I'm sure it's similar to what Mr. Milner said in
21 terms of having gauges -- so the answer is yes -- gauges that
22 give you the amount of amperage being drawn at any point in
23 time.

24 Q And because telecommunications equipment operates at
25 a fairly steady state, then that's usually representative of a

1 period over time?

2 A You would think so, yes.

3 Q Does Sprint do any remote monitoring of those
4 functions?

5 A I don't know.

6 Q Do you have meters on your BDFBs?

7 A We do not have meters. We have the same type gauges
8 that give you an analog readout perhaps of the draw at any
9 point in time.

10 Q Have you looked at the cost of metering power?

11 A We have been investigating it because of a DR.

12 Q And what have your investigations revealed to you?

13 A Well, there's multiple costs. I mean, there's the
14 cost of the metering system; there's a cost of the operation
15 support system necessary to set up billing on the basis of
16 being able to change the amount of power that we're billing
17 for; there's the cost of reading the power being drawn; there's
18 the cost of the billing itself. So we have operation support
19 systems who support the billing, and then we have the billing
20 itself.

21 And then there's the cost of underutilized plant that
22 we've been discussing in terms of -- as depicted in AT&T
23 Witness King's testimony that they're only using 5 and a half
24 percent of the DC power that they ordered, and that's a
25 tremendous cost to an ALEC -- ILEC, excuse me, in terms of

1 underutilized plant.

2 Q Now, in terms of Sprint's own monitoring of its power
3 plant, wouldn't it be efficient or more efficient to actually
4 do remote metering of that plant as compared to sending a guy
5 around to every central office power plant with a little
6 clipboard --

7 A In terms of reading the meters for the purpose of
8 billing, it is more -- you would think it would be a lot more
9 efficient to do that remotely. And thank you, because you did
10 remind me of a cost that I had left out, and that is, the costs
11 associated with perhaps intranet ports or other dial-up type
12 ports so that you can do that polling and reading of that power
13 amount.

14 Q How expensive have your investigations lead you -- or
15 let me ask you a different question. Strike that.

16 Have you figured out or have you determined any cost
17 type numbers for the metering that you're investigating?

18 A We have some of the costs prepared. We have not
19 completed that analysis.

20 Q In a TELRIC environment, wouldn't you expect that
21 remote metering, being the most efficient technology, would be
22 the way that you would expect it to be?

23 A That's what I would expect, yes.

24 Q Turn over to Page 10 of your direct testimony. Now,
25 at Lines 13 through 15, about Issue 6C about when you should

1 begin billing for power, you make the statement there that you
2 should begin billing when the ALEC has the capability of
3 drawing power; is that correct?

4 A Yes.

5 Q Now, in a collocation space when you have built out
6 the space, on space acceptance day the collocator doesn't have
7 any equipment in that space, does he?

8 A I don't know. It depends on their coordination, but
9 I'm assuming that you're saying that the space is empty on
10 acceptance, and then they have to put in their plant. So the
11 answer would be, no, they don't have equipment in there yet.

12 Q So the ALEC or the CLEC doesn't have any capability
13 himself to draw power because he doesn't have any equipment in
14 there to draw power?

15 A You're not drawing power, but you're utilizing an
16 asset that's associated with that and that being the DC power
17 plant.

18 Q If I don't have any equipment in the collo space to
19 draw power, how can I utilize the DC power plant?

20 A Because you've requested on your application an
21 amount of power that you want us to provide and we have
22 provisioned that power, and we have provisioned that power
23 within the intervals that we're expected to. And the assets
24 are there and we should be allowed to earn a return on that
25 investment and also collect the revenues necessary to pay the

1 property tax on that investment because that investment is on
2 our books, and also maintain that investment and depreciate
3 that investment.

4 Q Basically, you want me to start paying for the power
5 plant before I actually use it.

6 A We would have to do that, sir, because we were
7 talking earlier about adding DC power plant capacity and having
8 the capacity available to grow into, so we face the same issue.

9 Q So I'm assuming that was a "yes."

10 A That's a yes. I'm sorry.

11 MR. HATCH: That's all I've got. Thank you, Madam
12 Chairman.

13 CHAIRMAN JABER: Thank you, Mr. Hatch.

14 Staff.

15 CROSS EXAMINATION

16 BY MR. TEITZMAN:

17 Q Mr. Davis, just one question. To your knowledge, is
18 Sprint currently metering DC power for any CLEC?

19 A No, sir, we're not.

20 MR. TEITZMAN: No further questions. Thank you.

21 CHAIRMAN JABER: Commissioners.

22 COMMISSIONER DAVIDSON: I just wanted to commend
23 staff on their brevity.

24 MR. TEITZMAN: Thank you, Commissioner.

25 CHAIRMAN JABER: Commissioners, any other questions

1 or comments?

2 Ms. Masterton, redirect?

3 MS. MASTERTON: Madam Chairman, I just have one
4 question on redirect, and it actually involves a response that
5 Mr. Fox gave to a question of Commissioner Deason yesterday
6 regarding 911 access, and his response was not entirely
7 accurate. And I've asked the parties and they don't object to
8 me asking Mr. Davis a question that will allow him to clarify
9 the record on that point.

10 CHAIRMAN JABER: Commissioner Deason, I think that's
11 appropriate. Okay.

12 REDIRECT EXAMINATION

13 BY MS. MASTERTON:

14 Q Mr. Davis, were you in the room yesterday when
15 Mr. Fox responded to Commissioner Deason's question regarding
16 the access to 911 when a CLEC powers its equipment with AC
17 power?

18 A Yes, I was.

19 Q Do you have any clarification to Mr. Fox's response?

20 A Yes, I do. The situation that Mr. Fox described was
21 that perhaps we could run an AC power feed, allow a CLEC to put
22 in a rectifier to convert AC power to DC power and then power
23 their equipment and that we could offer backup on a generator.
24 In the event of a power failure, the batteries in a telephone
25 office take over immediately and support the equipment for a

1 period of time. During that time, the generator has to start
2 up, run, warm up, get up to speed and then be able to come
3 on-line. That takes several minutes.

4 Assuming that the generator works properly and starts
5 on its own -- and I was an operations manager in the field in
6 eastern North Carolina and do have knowledge of how this stuff
7 operates. There are times when we would have to hand start a
8 generator because it didn't automatically start. It is an
9 engine like a car engine or a lawnmower, and we all have
10 experience with the lawnmower not cranking when we're ready to
11 cut our grass right away. So it's not a fail-safe approach to
12 providing AC backup at all.

13 CHAIRMAN JABER: Help me put in perspective -- I
14 think also the nature of the question yesterday -- and,
15 Commissioner Deason, you can elaborate further. We also
16 questioned whether that would serve as adequate redundancy. Is
17 your point that it would not --

18 THE WITNESS: Not in --

19 CHAIRMAN JABER: -- be redundant?

20 THE WITNESS: Excuse me.

21 CHAIRMAN JABER: Then it wouldn't be redundant.

22 THE WITNESS: Not in the short term, no, ma'am, but
23 once the generator does start and does run and does get up to
24 speed and comes on-line, then it would supply. I've been in a
25 CO, central office, where that happened. We went through

1 hurricanes in eastern North Carolina -- I'm sure you people are
2 familiar with those as well -- and the AC power goes off, the
3 lights go out in the CO. We have some lights in a CO that's
4 going to be powered by that generator. And the generator in
5 that particular situation did start, but it did take some time
6 for it to get going and come on-line and supply power back to
7 some of the residual lights that we had on it as well as some
8 of the outlets that we had in the building.

9 So during that period of time, I mean, whatever is
10 connected directly to AC power or whatever is being supported
11 directly by the AC generator is not going to work, including a
12 CLEC's equipment in a collocation space. 911 was the issue I
13 heard about yesterday. That would go down during that period
14 of time when the generator was not running and the AC power was
15 off.

16 CHAIRMAN JABER: Commissioner Deason, did you have
17 any other questions in that regard?

18 MS. MASTERTON: That was it. Thank you.

19 CHAIRMAN JABER: Thank you. And, Ms. Masterton,
20 there was one exhibit, Exhibit 19.

21 MS. MASTERTON: Yes. And I'd like to move that into
22 the record at this time.

23 CHAIRMAN JABER: Without objection, Exhibit 19 is
24 admitted into the record.

25 (Exhibit 19 admitted into the record.)

1 CHAIRMAN JABER: And Mr. Davis may be excused.

2 (Witness excused.)

3 CHAIRMAN JABER: Commissioners, how about we take a
4 short ten-minute break and give Mr. Bailey an opportunity to
5 come up on the stand?

6 Verizon, Mr. Bailey was sworn yesterday?

7 MR. McCUAIG: That's correct.

8 (Brief recess.)

9 CHAIRMAN JABER: Mr. McCuaig, or is it going to be
10 Ms. Ronis?

11 MR. McCUAIG: Dan McCuaig representing Verizon.

12 CHAIRMAN JABER: Okay. Let's go ahead and get
13 started with Mr. Bailey.

14 MR. McCUAIG: Okay.

15 CHARLES BAILEY

16 was called as a witness on behalf of Verizon Florida, Inc. and,
17 having been duly sworn, testified as follows:

18 DIRECT EXAMINATION

19 BY MR. McCUAIG:

20 Q Mr. Bailey, please state your name and business
21 address for the record.

22 A My name is Charles Bailey. My business address is
23 600 Hidden Ridge, Irving, Texas.

24 Q By whom are you employed and in what capacity?

25 A I'm employed by Verizon as a product manager for

1 collocation.

2 Q Have you caused to be filed in this docket direct
3 testimony consisting of three pages attached to Verizon's
4 motion for leave to file that testimony?

5 A Yes.

6 Q Do you have any changes to that testimony?

7 A No.

8 Q If I were to ask you the questions contained in that
9 direct testimony today, would the answers be the same?

10 A Yes.

11 Q Do you have any substantive changes to that
12 testimony?

13 A No.

14 MR. McCUAIG: I would ask that Mr. Bailey's direct
15 testimony of three pages be entered into the record as though
16 read from the stand.

17 CHAIRMAN JABER: I think it would be more efficient
18 to do it this way, and you tell me if you have a problem with
19 that. I will recognize that the prefiled direct testimony of
20 John Ries as adopted by Charles Bailey shall be inserted into
21 the record as though read.

22 MR. McCUAIG: Okay. That's great. Thank you.

23 BY MR. McCUAIG:

24 Q Mr. Reis -- I'm sorry. Mr. Bailey.

25 A He's not here.

1 Q Thanks.

2 CHAIRMAN JABER: That won't be the first time we do
3 that to you, I'm sure.

4 BY MR. McCUAIG:

5 Q Have you also adopted the rebuttal testimony of John
6 Ries submitted January 21st in this docket?

7 A Yes.

8 Q Holding aside the biographical information contained
9 in that testimony, do you have any changes to that testimony?

10 A No.

11 Q If I were to ask you the questions contained in that
12 rebuttal testimony today, would the answers be the same?

13 A Yes.

14 MR. McCUAIG: I would ask that Mr. Ries's rebuttal
15 testimony also be inserted into the record as though read from
16 the stand.

17 CHAIRMAN JABER: The prefiled rebuttal testimony of
18 John Ries as adopted by Charles Bailey shall be inserted into
19 the record as though read.

20 MR. McCUAIG: Thank you.

21 (REPORTER'S NOTE: For convenience of the record,
22 Mr. Bailey's direct and Mr. Ries's direct and rebuttal
23 testimonies as adopted by Mr. Bailey were inserted in the
24 record at Page 452.)

25 BY MR. McCUAIG:

1 Q Mr. Bailey, have you prepared a summary of your
2 testimony?

3 CHAIRMAN JABER: Let me interrupt you for just a
4 minute. John Ries had an exhibit, JR-1. Is that -- Mr. Bailey
5 is not adopting that and there are no exhibits?

6 MR. McCUAIG: We were not going to insert that
7 exhibit into the record because it was currently effective when
8 filed back in December. The tariff has been slightly changed.
9 References to Verizon's tariff should be made to the currently
10 effective tariff which is publicly available on Verizon's Web
11 site. They shouldn't refer back to the tariff that was filed
12 with Mr. Ries's testimony.

13 CHAIRMAN JABER: Mr. McCuaig, I don't know want to
14 speak for the parties. I don't whether they did or didn't have
15 cross-examination questions on that exhibit, but had you
16 communicated that with the parties before this morning?

17 MR. McCUAIG: No, we have not. We have no problem
18 marking it and putting it in the record and if parties want to
19 cross on it.

20 CHAIRMAN JABER: Well, let me get some feedback from
21 the parties. I don't want to make a nonissue an issue unless
22 it's appropriate.

23 Mr. Hatch.

24 MR. HATCH: I don't have any cross on the tariff.

25 MR. WATKINS: I believe Covad and FDN both had

1 questions about the tariff.

2 CHAIRMAN JABER: Do you have a copy of the most
3 recent tariff?

4 MR. WATKINS: No, Madam Chairman. In fact, I don't
5 know that the new tariff sections will match the sections
6 referenced in this testimony directing the reader's attention
7 to a Verizon tariff. If it does, then replacing it may not be
8 a problem, but I don't know that that's the case.

9 CHAIRMAN JABER: Mr. McCuaig, I'd like to not create
10 confusion and take you up on the offer to mark the exhibit. It
11 was identified in the prehearing order, parties relied on its
12 use at the hearing, so let's do that.

13 MR. McCUAIG: That sounds great, Madam Chair.

14 CHAIRMAN JABER: And your witness can answer
15 questions with regard to the exhibit.

16 MR. McCUAIG: That's correct.

17 CHAIRMAN JABER: Okay. JR-1 will be identified as
18 Hearing Exhibit 20.

19 (Exhibit 20 marked for identification.)
20
21
22
23
24
25

1 **DIRECT TESTIMONY OF CHARLES BAILEY**

2

3 **I. INTRODUCTION**

4 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

5 A. My name is Charles Bailey. My business address is 600 Hidden Ridge,
6 Irving, Texas 75038.

7

8 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

9 A. I am employed by Verizon Communications, Inc. ("Verizon") as a
10 Manager — Product Management / Product Development responsible
11 for Verizon's collocation products. In this proceeding, I am representing
12 Verizon Florida Inc. ("Verizon FL").

13

14 **Q. PLEASE DESCRIBE YOUR EDUCATION AND WORK EXPERIENCE.**

15 A. I graduated from Texas A&M University in 1987 with a Bachelor of
16 Science degree in Electrical Engineering. In 1991, I graduated from
17 Southern Methodist University with a Master of Business Administration
18 degree. My employment with Contel (now part of Verizon) began in
19 1988 in the Network Access Bureau as an engineer responsible for the
20 design of special access and private line circuits.

21

22 After the GTE/Contel merger in 1991, I took a job in the Access Pricing
23 group. I held several positions of increasing responsibility within Access
24 Pricing from 1991 to 1996. My responsibilities included development of
25 cost and price support for switched, special, and wireless access, as

1 well as billing and collection service. I was also responsible for filing
2 testimony and comments with both the Federal Communications
3 Commission ("FCC") and state commissions.

4
5 In 1996, I joined the Network Access Services group as a Senior
6 Product Manager responsible for implementing the Telecommunications
7 Act of 1996 as it related to Verizon's structural space asset products. I
8 participated in regulatory advocacy, witness training, contract
9 negotiation support, and product line / business process modification. In
10 1998, I was promoted to Program Manager and coordinated the
11 development of an inventory and reporting system for collocation. In
12 2000, I assumed my current position with responsibility for Verizon's
13 collocation product line.

14
15 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE ANY STATE**
16 **REGULATORY COMMISSIONS?**

17 A. Yes, I have testified before the state commissions in Florida and Illinois
18 on issues relating to the pricing of special access and private line
19 services.

20
21 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

22 A. The purpose of this testimony is to set forth my work experience and
23 qualifications, and to formally adopt the Direct Testimony and Rebuttal
24 Testimony of Verizon FL witness John Ries, filed in this docket on
25 December 19, 2002 and January 21, 2003, respectively.

1 **II. ADOPTION OF JOHN RIES'S TESTIMONY**

2 **Q. HAVE YOU REVIEWED THE DIRECT TESTIMONY AND REBUTTAL**
3 **TESTIMONY OF VERIZON FL WITNESS JOHN RIES, FILED IN THIS**
4 **DOCKET ON DECEMBER 19, 2002 AND JANUARY 21, 2003,**
5 **RESPECTIVELY?**

6 A. Yes. Except for Mr. Ries's biographical information, I adopt those
7 testimony submissions.

8

9 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

10 A. Yes.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.

2 A. My name is John Ries. My business address is 600 Hidden Ridge,
3 Irving, Texas 75038.

4

5 Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?

6 A. I am employed by Verizon Communications as a Senior Product
7 Manager - Collocation. In this proceeding, I am representing Verizon
8 Florida Inc.

9

10 Q. PLEASE DESCRIBE YOUR EDUCATION AND WORK EXPERIENCE.

11 A. I graduated from the University of Missouri - Columbia in 1982 with a
12 Bachelor of Arts degree in Mathematics and Statistics. My employment
13 with GTE (now Verizon) commenced in May 1982 in the Network
14 Planning Department. I held several positions during my first six years
15 with Network Planning. My responsibilities included capital budgeting,
16 capital portfolio management, implementation of enhanced support
17 products for Network Planning, and coordination of technical responses
18 for business customer requests. In 1988, I moved into the Business
19 Pricing group and remained there for four years. My responsibilities
20 there included pricing new network services for tariff offerings, as well as
21 pricing individual case applications.

22

23 In December 1992, I became the Product Manager for Expanded
24 Interconnection Services. My responsibilities included coordinating
25 GTE's response to the FCC's Docket 91-141 Order on Special Access

1 and Switched Transport Interconnection, a task which required
2 organizing diverse resources within GTE to determine how the
3 Company would offer physical and virtual collocation.

4

5 In January 1998, I became Program Manager, Access Services. I was
6 involved in analyzing competitive information relating to GTE's Network
7 Services, as well as contract negotiations with major interexchange
8 carriers and competitive local exchange carriers.

9

10 In January 2000, I moved into my current position, Senior Product
11 Manager - Collocation. Over the last two years, I have been a policy
12 witness on collocation issues and have negotiated collocation
13 interconnection agreements.

14

15 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE ANY STATE**
16 **REGULATORY COMMISSIONS?**

17 A. Yes, I have testified on collocation issues in California, Florida, Hawaii,
18 Illinois, Missouri, Nebraska, New Hampshire, New Mexico, North
19 Carolina, Rhode Island, Texas, Vermont, Washington, and Wisconsin.

20

21 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

22 A. My testimony discusses Verizon's collocation policies, practices, and
23 terms and conditions. I cover all issues designated for resolution in this
24 docket, except for issues 9 and 10, concerning collocation rates.
25 Verizon witness Ellis will address those issues.

1

2 **Q. HOW DOES VERIZON PROVIDE COLLOCATION IN FLORIDA?**

3 A. Verizon provides collocation under a tariff, which took effect on January
4 14, 2000. Prior to that, collocation was provided through negotiated
5 interconnection agreements. Verizon's tariff addresses most of the
6 issues in this proceeding, and my testimony is consistent with the tariff
7 provisions. The tariff is attached as Exhibit JR-1. Various sections of the
8 tariff are referenced throughout my testimony.

9

10 **Q. WHEN SHOULD AN ALEC BE REQUIRED TO REMIT PAYMENT**
11 **FOR NON-RECURRING CHARGES FOR COLLOCATION SPACE?**
12 **(ISSUE 1A)**

13 A. Once Verizon confirms that it can satisfy the ALEC's collocation request,
14 the ALEC should be required to remit 50% of the non-recurring charges
15 associated with the collocation arrangement. Verizon's confirmation
16 includes a price quote and project implementation timeline. Verizon will
17 begin to prepare the space upon receipt of the initial 50% payment,
18 which establishes the ALEC's commitment to proceed with the
19 requested collocation and covers a portion of Verizon's up-front costs to
20 prepare the collocation space. The remaining 50% of the non-recurring
21 charges are billed to the ALEC at the time space is turned over to the
22 ALEC.

23

24 **Q. WHEN SHOULD BILLING OF MONTHLY RECURRING CHARGES**
25 **BEGIN? (ISSUE 1B)**

1 A. Billing of monthly recurring charges should begin in the next billing cycle
2 after the collocation space is turned over to the ALEC.

3

4 **Q. WHAT CANCELLATION CHARGES SHOULD APPLY IF AN ALEC**
5 **CANCELS ITS REQUEST FOR COLLOCATION SPACE? (ISSUE 1C)**

6 A. Verizon does not assess "cancellation charges." Rather, depending on
7 when the ALEC cancels its request, Verizon would charge the ALEC for
8 the costs Verizon incurred in responding to the request. If the ALEC
9 cancels its request for collocation space when construction is in
10 progress and prior to acceptance of the space, Verizon would keep the
11 engineering/augment fees submitted with the application and would
12 assess any other non-recurring charges necessary to cover Verizon's
13 costs incurred in providing the collocation arrangement. If the ALEC
14 cancels the request after the collocation arrangement has been
15 completed, the ALEC would also have to pay the monthly recurring
16 charges, unless the ALEC provided written notice of the cancellation 30
17 days prior to the scheduled completion date.

18

19 **Q. WHAT SECTIONS OF VERIZON'S TARIFF ADDRESS ISSUE ONE?**

20 A. The following sections address the various aspects of bill payment and
21 cancellation: Application Form/Fee (19.3.1.B), Notification of
22 Acceptance/Rejection (19.3.1.C), Space Availability (19.3.2), Price
23 Quote (19.3.3), Planning and Coordination (19.4.1), Cancellation and
24 Acceptance Delays (19.10.3), and Billing and Payment (19.14.2).

25

1 **Q. SHOULD AN ALEC BE REQUIRED TO JUSTIFY ITS SPACE**
2 **RESERVATION NEEDS TO THE ILEC WHEN AN ILEC IS FORCED**
3 **TO CONSIDER A BUILDING ADDITION TO ACCOMMODATE**
4 **FUTURE SPACE REQUIREMENTS? (ISSUE 2A)**

5 A. It is first important to clarify that an ILEC cannot be forced to consider a
6 building addition to accommodate either existing collocation requests or
7 future ALEC collocation demand. But when an ALEC has reserved
8 space in an office that is at or near exhaust and another party (either
9 another ALEC or the ILEC) needs the space, the ALEC should be
10 required to justify the space reservation by showing the intended
11 purpose of the reserved space and the forecasted year of use. These
12 are the same showings Verizon is required to make when it requests a
13 waiver of collocation requirements due to space exhaustion. (See
14 Verizon Collocation Tariff at sec. 19.5.1.) Applying them to the ALEC in
15 this analogous context satisfies the same policy of efficiently using
16 space to meet existing needs.

17

18 **Q. UNDER WHAT CONDITIONS SHOULD AN ILEC BE ALLOWED TO**
19 **RECLAIM UNUSED COLLOCATION SPACE? (ISSUE 2B)**

20 A. Under Verizon's tariff, the ALEC must begin installing collocation
21 equipment (that is, equipment necessary for interconnection or access
22 to unbundled network elements) within a reasonable period of time, not
23 to exceed six months, from the date the collocation arrangement is
24 accepted. If the ALEC does not utilize its space within that time, Verizon
25 may reclaim that unused space. This practice assures timely and

1 efficient use of limited space and prevents an ALEC from warehousing
2 space in order to keep other competitors out of a market. These are the
3 same objectives the Commission emphasized in its May 2000
4 Collocation Order. (See, e.g., Order No. PSC-00-0941-FOF-TP, at 54-
5 55.)

6

7 **Q. WHAT OBLIGATIONS, IF ANY, SHOULD BE PLACED ON THE ALEC**
8 **THAT CONTRACTED FOR THE SPACE? (ISSUE 2C)**

9 A. Verizon's tariff comprehensively describes the obligations of the ALEC
10 contracting for collocation space. With regard to general obligations on
11 use of the space, as noted, the ALEC must begin to use its space within
12 six months. In addition, if there is not enough space to satisfy existing
13 collocation requests, an ALEC may not house obsolete or unused
14 equipment within its space and it must document its plans for use of
15 reserved space. Again, Verizon has the same obligations in a space
16 exhaust situation. (See Verizon Collocation Tariff § 19.5.1.) In order to
17 ensure the most efficient use of space, these obligations should apply
18 equally to all parties using space in an office.

19

20 **Q. WHAT OBLIGATIONS, IF ANY, SHOULD BE PLACED ON THE**
21 **ILEC? (ISSUE 2D)**

22 A. Verizon's tariff sets forth both the ILEC's and ALEC's obligations relative
23 to collocation arrangements. With regard to the ILEC's use of space,
24 Verizon must justify and document its existing use of space and its
25 future needs before it may receive a waiver of collocation requirements

1 at a particular site. (See Verizon Collocation Tariff § 19.5.1)

2

3 **Q. WHAT SECTIONS OF THE VERIZON TARIFF ADDRESS ISSUE**
4 **TWO?**

5 A. Along with the Space Availability section (19.5.1), the following sections
6 of Verizon's tariff also relate to this issue: Minimum/Maximum/Additional
7 space (19.5.2), Use of Space (19.5.3), Reservation of Space (19.5.4)
8 and Reclamation (19.5.6).

9

10 **Q. SHOULD AN ALEC HAVE THE OPTION TO TRANSFER ACCEPTED**
11 **COLLOCATION SPACE TO ANOTHER ALEC? IF SO, WHAT ARE**
12 **THE RESPONSIBILITIES OF THE ILEC AND ALECS? (ISSUE3)**

13 A. No. While an ALEC may sublease its collocation space to another party
14 (pursuant to section 19.2.3 of Verizon's tariff), it may not transfer the
15 entire space to another ALEC once the contracting ALEC decides to
16 leave it. Verizon is responsible for the management and operation of its
17 central offices, including collocation space. A transfer of space to a third
18 party, without Verizon's input or knowledge, would undermine Verizon's
19 ability to control and maintain its premises.

20

21 Allowing ALECs to transfer space to each other would also be directly
22 contrary to the Commission's November 2000 ruling on post-waiver
23 space availability. As the Commission knows, ILECs may receive FCC
24 waivers of physical collocation requirements where space is exhausted.

25 This Commission requires ILECs to keep waiting lists of ALECs that

1 have been denied physical collocation for lack of space in a particular
2 office. Under this system, ALECs must be listed in the order their
3 requests are received, so that if space later becomes available, the first
4 ALEC application received must be given the first opportunity to take the
5 space. (November 2000 Collocation Order at 20-21.) Allowing an
6 ALEC to transfer space directly to another ALEC would circumvent the
7 Commission's mandatory waiting list procedure. Without the ILEC's
8 involvement, the ALEC could transfer the newly available space to any
9 other ALEC, regardless of its position on the ILEC's waiting list. The
10 ALEC could simply give the space to the highest bidder or use any other
11 criterion it wished to allocate the space. This is exactly the kind of
12 arbitrary and unfair result the Commission sought to prevent in its
13 November 2000 Collocation Order. If the Commission considers
14 allowing direct ALEC-to-ALEC transfers of space, it will necessarily have
15 to change its post-waiver space allocation policies.

16

17 **Q. SHOULD THE ILEC BE REQUIRED TO PROVIDE COPPER**
18 **ENTRANCE FACILITIES WITHIN THE CONTEXT OF A**
19 **COLLOCATION INSIDE THE CENTRAL OFFICE? (ISSUE 4)**

20 A. No. Verizon will allow the ALEC to bring fiber optic facilities into the
21 ILEC premise, but it should not be forced to provide copper facilities,
22 which take up significantly more space within the ILEC manhole and
23 conduit system than fiber facilities. Moreover, fiber facilities can handle
24 high volumes of traffic at higher bandwidth over a single fiber pair.
25 Increasing conduit space to accommodate additional copper cable is a

1 labor-intensive and costly exercise. Verizon's tariff sections relating to
2 this issue are 19.4.3.D and 19.4.3.E.

3

4 **Q. SHOULD AN ILEC BE REQUIRED TO OFFER, AT A MINIMUM,**
5 **POWER IN STANDARDIZED INCREMENTS? IF SO, WHAT SHOULD**
6 **THE STANDARDIZED POWER INCREMENTS BE? (ISSUE 5)**

7 A. Verizon does not oppose offering power in standardized increments, as
8 long as ALECs order and maintain a specified minimum amperage. In
9 this regard, Verizon offers DC Power in per-amp increments, but
10 requires a minimum of ten (10) amps for each ALEC arrangement. Ten
11 amps is a reasonable minimum because a functioning collocation
12 arrangement will require at least 10 amps of power. The minimum
13 requirement is necessary for Verizon to have an opportunity to recover
14 its costs, because while ALECs may require different quantities of
15 power, power is not provisioned or grown at a single amp increment.
16 Power rates must cover not only the costs specific to the particular
17 arrangement (such as extending cabling from Verizon's power plant to
18 a battery distribution fuse bay (BDFB); provisioning fusing, and
19 extending cable to the collocation arrangement), but the ongoing costs
20 of maintaining and investing in power plant infrastructure adequate to
21 satisfy collocators' needs. While Verizon agrees to sell power on a per-
22 amp basis, the minimum amperage requirement is consistent with the
23 bulk nature of the costs of provisioning power and minimizes the threat
24 of stranded investment.

25

1 Note that while fusing and power cabling material costs vary directly with
2 the number of amps provisioned, the labor to install different size cables
3 is closely tied to the distance and number of cables to be placed, rather
4 than on amperage quantities. Setting non-recurring charges on a per-
5 cable installation basis and monthly recurring charges on a single amp
6 increment with a 10 amp minimum attains the best balance.

7

8 **Q. ISSUE 6A ASKS WHETHER POWER RATES SHOULD BE BASED**
9 **ON AMPS USED OR FUSED CAPACITY. CAN YOU EXPLAIN THE**
10 **DIFFERENCE BETWEEN A LOAD AMP AND A FUSED AMP?**

11 A. Telecommunications equipment that uses DC power has a
12 manufacturer's power drain specification associated with it. For
13 instance, a particular piece of switching or transmission equipment may
14 require 20 amps of DC power to function. This drain on the ILEC power
15 plant is also referred to as the power "load." Today's digital technology
16 consistently draws a steady load amperage from the power plant, but
17 there may be instances when it will draw more or less amperage. The
18 power cabling feed from the ILEC power plant is fused to accommodate
19 a spike in the power drain from the equipment before the fuse will blow
20 and take that cable feed out of service. Typically, the fuse is engineered
21 to 1.25 or 1.50 times the load. In the above example, Verizon would
22 fuse the power feed at 30 amps for the 20-amp load. Therefore, the
23 ILEC's equipment could draw up as much as 30 amps of power from
24 the ILEC without blowing a fuse. However, based on the manufacturer's
25 specifications, the equipment would be expected to consistently draw 20

1 amps of power while in service. The usual debate underlying Issue 6A
2 is whether the ALEC should pay for the fuse power of 30 amps or the
3 load power of 20 amps.

4

5 **Q. HOW DOES THE ALEC ORDER POWER FROM VERIZON?**

6 A. The ALEC must request the number of power cables to be provisioned
7 to the collocation arrangement, along with the power load and fuse
8 quantity of each individual cable. Verizon allows the ALEC to request
9 fusing up to two and one-half times the requested load on each power
10 feed. This approach allows the ALEC to have full redundancy on its
11 power feeds (to allow for failure on one feed), while only paying for the
12 power load that was ordered for its equipment. For instance, if an ALEC
13 required 20 amps of power for its collocation arrangement, a probable
14 configuration would request 10 amps of power on the A cable feed and
15 10 amps of power on the B cable feed. This would provide the ALEC
16 with the power load required for its equipment. The ALEC could also
17 request that Verizon fuse each cable feed at 25 amps. Therefore, if one
18 power lead were to fail, the other feed would keep the equipment in-
19 service. In this example, Verizon would charge the ALEC for 20 amps
20 of power.

21

22 **Q. SHOULD AN ILEC'S PER AMPERE (AMP) RATE FOR THE**
23 **PROVISIONING OF DC POWER TO AN ALEC'S COLLOCATION**
24 **SPACE APPLY TO AMPS USED OR FUSED CAPACITY? (ISSUE 6A)**

25 A. Neither used amps or fused amps should apply. Consistent with

1 Verizon's tariff, the per-amp rate should be based on what the ALEC
2 orders. When an ALEC orders power, it specifies the load (the typical
3 drain, based on manufacturer's specifications) and the fused capacity
4 (how much of a power spike the fuses should accommodate). Verizon
5 charges for power on a per-load-amp basis, rather than charging for the
6 total fused amps or measuring a used amount. However, because
7 Verizon fuses each power feed based on the ALEC's application if a
8 ALEC abuses this pricing structure and consistently draws more power
9 than it requested, Verizon should continue to have the ability to audit
10 power usage and impose penalties for any abuses. As shown in the
11 previous example, while the ALEC was only charged for 20 amps of
12 power, the ALEC had a total of 50 amps of power being delivered to its
13 collocated equipment. All power issues, including random inspections,
14 acceptable buffer zones, and required annual attestations, are
15 addressed in Verizon's tariff section 19.4.2.C.

16

17 **Q. IF POWER IS CHARGED ON A PER-AMP-USED BASIS, HOW**
18 **SHOULD THE CHARGE BE CALCULATED AND APPLIED? (ISSUE**
19 **6B)**

20 A. Different companies may calculate and apply per-amp charges
21 differently, but, for Verizon, the monthly recurring charge for DC Power
22 should be calculated on a per-load-amp (as opposed to per-fused-amp)
23 basis and should recover the following cost components: investment in
24 installed power plant infrastructure, labor and material to extend cabling
25 from power plant to Battery Distribution Fuse Bay (BDFB), fuses and

1 fuse panels on the BDFB, and an allocated utility cost. The per-amp
2 charge should be applied for each load amp ordered by the ALEC.

3

4 **Q. SHOULD THE ILEC INSTALL METERS TO MEASURE THE ACTUAL**
5 **AMPERAGE USED BY AN ALEC?**

6 A. No. Placing meters in the central office to monitor usage on each cable
7 feed is not feasible from a practical or cost standpoint. Metering would
8 impose new costs on the ALEC because additional equipment would be
9 introduced into the collocation configuration, along with additional
10 manpower and administrative costs to read meters and bill accordingly.
11 Verizon allows the ALEC to order only the power needed to operate its
12 equipment when engineered using the manufacturers' specifications for
13 industry-standard power drain. Today's digital equipment is designed to
14 operate at a constant load, regardless of whether there is actually live
15 traffic. In sum, metered power would raise costs and introduce
16 inefficiency without yielding any advantages over Verizon's current
17 practice.

18

19 **Q. WHEN SHOULD AN ILEC BE ALLOWED TO BEGIN BILLING AN**
20 **ALEC FOR POWER? (ISSUE 6C)**

21 A. Verizon begins billing the monthly recurring charges once the ALEC
22 accepts the collocation space. Because part of Verizon's significant
23 power investment is recovered in the per amp monthly charge, Verizon
24 is entitled to begin recovery of that investment once the ALEC accepts
25 the arrangement.

1

2 **Q. SHOULD AN ALEC HAVE THE OPTION OF AN AC POWER FEED**
3 **TO ITS COLLOCATION SPACE? (ISSUE 7)**

4 A. No. Telecommunications equipment requires DC power, so the AC
5 power from the electric utility must be converted into DC power to run
6 the equipment. The ALEC may request additional AC power outlets to
7 its collocation arrangement in order to operate various testing equipment
8 or accommodate similar activities, but the ALEC should not be permitted
9 to request AC power feeds with an intent to convert AC power to DC
10 power within its collocation space. Conversion of AC power to DC
11 power for telecommunications equipment is a core infrastructure
12 function within the central office. Attempts to bypass this function by
13 converting power within the collocation cage would require not only
14 conversion equipment, but also batteries and generators, such that the
15 ALEC has a backup power supply. In addition, special construction
16 would typically be required to isolate the ALEC's power plant from
17 surrounding equipment and protect against the risk of fire from the
18 battery plant. Multiple power plants within the building multiply the risk
19 from fire and/or hazardous materials. In order to maintain the safety and
20 integrity of the network, the conversion of AC power to DC power should
21 be performed at the central office power plant and then distributed to
22 various points in the central office with associated power cabling and
23 BDFBs.

24

25 **Q. WHAT ARE THE RESPONSIBILITIES OF THE ILEC, IF ANY, WHEN**

1 **AN ALEC REQUESTS COLLOCATION SPACE AT A REMOTE**
2 **TERMINAL WHERE SPACE IS NOT AVAILABLE OR SPACE IS**
3 **NEARING EXHAUSTION? (ISSUE 8)**

4 A. The procedures for obtaining collocation space at a remote terminal
5 should mirror those for a central office. The ILEC is not required to
6 construct additional space to satisfy a collocation request. If there is no
7 available space within the remote terminal, the ALEC should explore an
8 adjacent solution, such as placing its own remote terminal adjacent to
9 Verizon's terminal and establishing a network interface.

10

11 **Q. PLEASE SUMMARIZE YOUR TESTIMONY.**

12 A. Verizon's intrastate collocation tariff has been in effect almost 3 years.
13 That tariff builds on longstanding experience with both interstate and
14 intrastate collocation arrangements. Verizon has approximately 250
15 collocation arrangements in service in Florida. Verizon's existing tariff
16 terms should remain in place because they are working well and they
17 adequately address the issues raised for resolution in this proceeding.

18

19 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

20 A. Yes.

21

22

23

24

25

1 **I. INTRODUCTION AND SUMMARY OF TESTIMONY**

2

3 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

4 A. My name is John Ries. My business address is 600 Hidden Ridge,
5 Irving, Texas 75038.

6

7 **Q. DID YOU FILE DIRECT TESTIMONY IN THIS DOCKET?**

8 A. Yes, I filed direct testimony on December 19, 2002.

9

10 **Q: WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?**

11 A. The purpose of my testimony is to respond to the direct testimony of
12 Jeffrey King, who filed direct testimony in this docket on December 19,
13 2002, on behalf of AT&T Communications of the Southern States, LLC
14 and TCG South Florida, Inc. As I discuss below, several of Mr. King's
15 proposals would deny Verizon Florida the ability to properly recover
16 collocation costs incurred on the ALECs' behalf; other proposals are
17 simply dangerous. Mr. King's unreasonable proposals should be
18 rejected.

19

20 **II. VERIZON FLORIDA'S SPACE PREPARATION CHARGES AND**
21 **APPLICATION FEES ARE APPROPRIATE.**

22

23 **Q. PLEASE RESPOND TO MR. KING'S CLAIM THAT VERIZON**
24 **FLORIDA SHOULD NOT BE PERMITTED TO CHARGE THE ALEC**
25 **50% OF THE NON-RECURRING SPACE PREPARATION FEE**

1 **BEFORE THE COLLOCATION ARRANGEMENT IS COMPLETED.**

2 **(pp 4-5).**

3 A. Verizon Florida charges the ALEC 50% of the non-recurring space
4 preparation fee before Verizon Florida begins preparing the collocation
5 space to ensure that Verizon Florida is adequately compensated if the
6 ALEC later decides to cancel its collocation request. See Verizon Florida
7 Tariff § 19.4.1. This requirement also forces the ALEC to make a
8 decision on whether in fact it wants to proceed with collocation in a
9 particular central office *before* Verizon Florida spends considerable time
10 and money building the collocation arrangement, and before the ALEC
11 takes up valuable central office space that could be used by another
12 ALEC.

13

14 Mr. King's proposal that an ALEC pay all of the non-recurring space
15 preparation fee¹ after the collocation arrangement is completed could
16 deny Verizon Florida proper cost recovery and should therefore be
17 rejected. Like many other businesses, the ALEC should be required to
18 make a reasoned business decision on whether it wants to proceed with
19 collocation and commit to Verizon Florida by paying a deposit. Indeed,
20 the FCC has already held that Verizon Florida's 50% deposit
21 requirement is reasonable. *Collocation Order* ¶ 41.² And Sprint fully
22 supports this requirement. Fox Test. at 4.

23

24 **Q. HAVE ALECS IN THE PAST CANCELLED COLLOCATION**
25 **APPLICATIONS AFTER VERIZON FLORIDA HAD INCURRED**

1 **SIGNIFICANT COSTS?**

2 A. Yes. In the past, a number of ALECs have cancelled collocation
3 applications or gone out of business without paying their outstanding
4 collocation balances. Mr. King's claim that ALECs should not have to
5 pay anything until the collocation arrangement is completed would only
6 make this situation worse.

7

8 **Q. DO YOU AGREE WITH MR. KING'S PROPOSAL FOR APPLYING**
9 **CANCELLATION CHARGES IF THE ALEC CANCELS ITS REQUEST**
10 **FOR COLLOCATION SPACE? (pg 5).**

11 A. No. Mr. King's assertion that "if the ALEC cancels its request for
12 collocation space within 20 days after the application has been
13 submitted to the ILEC, the application fees should be fully refundable,"
14 King Test. at 5, misses the point. The application fee recovers the costs
15 Verizon Florida incurs to process the collocation application. Thus,
16 regardless of whether or when the ALEC later cancels the application,
17 that work has been performed and Verizon Florida is entitled to be
18 compensated for it.

19

20 With respect to the space preparation charge, Verizon Florida will
21 reimburse the ALEC for the portion of the 50% deposit that has not been
22 used by Verizon Florida, but should be entitled to keep the rest. See
23 Verizon Florida Tariff § 19.10.3. As Sprint notes, "the ALEC should
24 reimburse the ILEC for any actual expenses incurred and not already
25 paid." Fox Test. at 7.

1 Mr. King's claim that the ALEC should be refunded its entire 50% space
2 preparation fee prepayment if it cancels a collocation application
3 because Verizon Florida somehow benefits from the collocation space is
4 absurd. Verizon Florida prepares the collocation arrangement only
5 because it is requested by the ALEC. Verizon Florida generally has no
6 use for such an arrangement. And in the rare event that Verizon Florida
7 does use the cancelled collocation space for itself, it will refund the
8 canceling ALEC the space preparation charge pursuant to Section
9 19.10.2 of Verizon Florida's tariff.³

10

11 In short, there is absolutely no support for Mr. King's claim that
12 collocation charges should be refunded to a canceling ALEC regardless
13 of whether Verizon Florida has already incurred costs for performing the
14 work requested by the ALEC. As Mr. Gray explained, "the ILEC should
15 not be penalized just because an ALEC changes its mind about
16 collocating in the central office." Gray Test. at 12-13.

17

18 **III. VERIZON FLORIDA'S MONTHLY RECURRING CHARGES**
19 **SHOULD COMMENCE WHEN THE COLLOCATION**
20 **ARRANGEMENT IS TURNED OVER TO THE ALEC.**

21

22 **Q. DO YOU AGREE WITH MR. KING'S CLAIM THAT CERTAIN**
23 **MONTHLY RECURRING CHARGES SHOULD NOT BE BILLED**
24 **UNTIL THE ALEC UNILATERALLY DECIDES TO BEGIN PROVIDING**
25 **SERVICE TO END USERS? (pg 4).**

1 A. No. Verizon Florida incurs the costs to build the collocation
2 arrangement and should therefore begin to be compensated as soon as
3 it delivers the arrangement to the ALEC. While Mr. King agrees that the
4 ALEC should be required to begin paying Verizon Florida for the floor
5 space as soon as the arrangement is turned over, he disagrees that the
6 ALEC should begin paying other recurring charges. According to Mr.
7 King, the other recurring charges should be deferred until the ALEC
8 installs, interconnects, and tests its equipment. King Test. at 5. But
9 treating floor space charges differently from other recurring charges
10 makes no sense: Verizon Florida incurs the costs for both before the
11 arrangement is turned over to the ALEC. Verizon Florida's cost
12 recovery clearly should not be tied to the ALEC's unilateral decision to
13 begin installing equipment in the collocation arrangement.

14

15 Moreover, certain aspects of the collocation arrangement are often
16 prepared by third party vendors, who expect to be paid by Verizon
17 Florida immediately and will not wait until the ALEC decides to install
18 equipment. Thus, it is unreasonable to require Verizon Florida to wait to
19 be reimbursed from the ALECs, particularly when Verizon Florida has
20 already incurred considerable out-of-pocket costs on the ALECs' behalf.
21 In fact, the ALEC may never decide to install equipment or may vacate
22 the arrangement or go out of business, leaving Verizon Florida with *no*
23 cost recovery under Mr. King's proposal.

24

25 Mr. King offers no credible explanation for why Verizon Florida should

1 not be able to begin billing ALECs for all collocation monthly recurring
2 charges as soon as Verizon Florida has turned over the collocation
3 space. Bell South's witness Mr. Gray, in contrast, cogently explained
4 that "monthly recurring charges are appropriately assessed when [the
5 ILEC] has completed its space conditioning and provisioning work and
6 turned the now 'functional space' over to the ALEC." Gray Test. at 8.
7 And Sprint's witness Mr. Fox similarly explained that "[b]illing of MRCs
8 should begin upon acceptance of the collocation space by the ALEC,"
9 Fox Test. at 5, because once "collocation construction begins, the space
10 is effectively dedicated to the ALEC, i.e., it is no longer available for use
11 by the ILEC or other ALECs." *id.* at 6.

12
13 Verizon Florida should therefore be permitted to recover the costs it
14 incurs to provision a collocation arrangement on behalf of the ALEC as
15 soon as the arrangement is turned over to the ALEC, and should not be
16 penalized simply because the ALEC has not timed its business plans
17 properly. The ALEC knows when it submits a collocation application
18 that Verizon Florida will provision the arrangement according to
19 published intervals. Thus, if the ALEC is not ready to install equipment,
20 it should wait to submit a collocation application. Moreover, the ALECs
21 should not be permitted to game the system by requiring Verizon Florida
22 to build collocation arrangements that they may never use, at no cost to
23 the ALECs. In fact, it is my understanding that all state commissions
24 permit the ILEC to assess recurring charges for UNEs, including
25 collocation, as soon as the UNE or collocation arrangement is delivered

1 to the ALEC.

2

3 **IV. THE ALECS SHOULD BE REQUIRED TO JUSTIFY UNUSED**
4 **COLLOCATION SPACE.**

5

6 **Q. SHOULD AN ALEC BE REQUIRED TO JUSTIFY ITS UNUSED**
7 **COLLOCATION SPACE BEFORE VERIZON FLORIDA IS FORCED**
8 **TO EXPAND A CENTRAL OFFICE? (pp 7-8).**

9 A. Yes. The FCC has noted that “inefficient use of space by one ALEC
10 could deprive another entrant of the opportunity to collocate facilities or
11 expand existing space.” *Local Competition Order* ¶ 586.⁴ The FCC
12 Rules likewise provide that “[a]n incumbent LEC may impose
13 reasonable restrictions on the warehousing of unused space by
14 collocating telecommunications carriers.” 47 C.F.R. § 51.323(f)(6).

15

16 As I explained at page 5 of my direct testimony, “reasonable restrictions”
17 in this instance require that an ALEC possessing unused collocation
18 space in an exhausted central office be required to justify why it should
19 be permitted to retain that space. Verizon Florida itself must justify its
20 unused or “reserved” space when it claims that a particular central office
21 is out of collocation space.

22

23 Mr. King does not appear to object to Verizon Florida’s requirement that
24 the ALEC justify its need for unused collocation space, but claims that
25 an ALEC should be allowed to retain its unused collocation space so

1 long as it “has future plans for [its] collocation space and provides
2 written notification [of] such to the ILEC.” King Test. at 7. Verizon
3 Florida agrees with Mr. King, but reserves the right to seek additional
4 documentation of the ALECs’ plans for unused space, as well as to
5 reclaim unused space, where appropriate, pursuant to Verizon Florida’s
6 tariff. See Verizon Florida Tariff § 19.5.6.

7

8 **Q. IS MR. KING’S PROPOSAL TO PERMIT ALECS TO TRANSFER**
9 **COLLOCATION SPACE TO OTHER ALECS CONSISTENT WITH THE**
10 **COMMISSION’S NOVEMBER 2000 ORDER? (pg 7).**

11 A. No. Mr. King argues that any ALEC, at its sole discretion, should be
12 able to transfer its collocation space to any other ALEC. King Test. at 7-
13 8. But as I explain at pages 7 and 8 of my direct testimony, the
14 Commission’s ruling of November 2000 requires ILECs to keep waiting
15 lists of ALECs that have been denied physical collocation, and to
16 provide collocation space on a first-come, first-served basis. (The FCC
17 rules similarly require that Verizon provide collocation space on a first-
18 come, first-served basis). Allowing an ALEC to transfer space directly to
19 another ALEC would circumvent this requirement. As Sprint’s expert
20 noted, “[i]f the ALEC could transfer its unwanted space, it could bypass
21 the next ALEC on the waiting list in favor of another ALEC.” Fox Test. at
22 13.

23

24 Mr. King’s proposal would also allow ALECs involved in joint ventures or
25 mergers to favor their partners and/or preclude their competitors from

1 collocating in an ILEC's central office. His proposal may also
2 circumvent the federal bankruptcy rules, which require an ALEC that is
3 acquiring another ALEC to cure all outstanding indebtedness owed to
4 Verizon Florida before it can assume the collocation arrangements
5 owned by the acquired company.

6

7 Mr. King's recommendation that ALECs be allowed to transfer space to
8 one another, without Verizon Florida's permission and oversight, should
9 therefore be denied.

10

11 **V. MR. KING'S PROPOSAL ON COPPER ENTRANCE FACILITIES**
12 **WOULD EXHAUST VALUABLE CENTRAL OFFICE SPACE AND**
13 **IS DANGEROUS.**

14

15 **Q. PLEASE ADDRESS MR. KING'S STATEMENTS REGARDING**
16 **COPPER ENTRANCE FACILITIES. (pg 8).**

17 A. In my direct testimony, I described the serious space exhaustion
18 concerns that make it technically infeasible to permit ALECs to demand
19 copper entrance facilities in a central office. Ries Test. at 8-9.
20 Additionally, there are serious safety concerns associated with copper
21 entrance facilities. Mr. King does not address these concerns at all;
22 rather, he simply states generically that since copper plant "is still an
23 integral part of the telecommunications industry," and flatly asserts,
24 without any justification at all, that this fact means ALECs must be given
25 "the opportunity to use copper plant." King Test. at 8. Simply because

1 there are still copper facilities *somewhere* in the public switched
2 telephone network ("PSTN"), however, it does not follow that copper
3 plant is appropriate — or even safe — for use in entrance facilities in
4 particular.

5

6 The copper that remains in the PSTN is primarily used in the *distribution*
7 plant — i.e., the facilities that fan out in the field to individual customer
8 premises. By contrast, virtually all new *feeder* plant — i.e., the facilities
9 connecting into the central office — uses fiber cable, given the
10 enormous efficiency advantages and serious safety issues described in
11 my testimony. Fiber is by far the more efficient cabling for aggregating
12 and delivering higher volumes of traffic. That is why new entrance
13 facility cable installed by Verizon is fiber, and why virtually all ALECs
14 and third party transport providers use fiber to deliver aggregated traffic
15 from collocation nodes to the ALEC's own network.

16

17 **Q. WHAT PROBLEMS WOULD ARISE FROM ALLOWING ALECS TO**
18 **USE COPPER ENTRANCE FACILITIES?**

19 A. The two basic concerns with permitting an ALEC to introduce copper
20 entrance facilities into a Verizon central office are safety and space
21 exhaust.

22

23 **Q. WHY DOES ALLOWING ALECS TO INSIST ON COPPER**
24 **ENTRANCE FACILITIES PRESENT A SAFETY RISK?**

25 A. The outside copper plant of a telephone network is always subject to

1 significant foreign voltages and currents — for example, when lightning
2 strikes a copper wire. Both to avoid electrocution risks and to protect
3 Verizon and ALEC central office equipment, it is absolutely essential to
4 prevent these foreign voltages and currents from being conducted into
5 the central offices. While Verizon takes all precautions required by
6 industry standards and electric safety codes to manage its plant in a
7 manner that *minimizes* these risks, these risks can never actually be
8 *eliminated*, and Verizon has, in the past, experienced fires and
9 equipment failures directly attributable to these external voltages.

10

11 Copper entrance facilities — especially when maintained by the ALECs
12 without any supervision by or coordination with Verizon — present an
13 increased safety risk. Copper cables are highly conductive and are
14 capable of conveying foreign current and voltages into and through the
15 central office. By contrast, fiber optic cables are non-conductive and for
16 that reason mitigate risks of central office electrocution, fire, and
17 equipment failures.

18

19 **Q. DO SAFETY RISKS AFFECT WHETHER A GIVEN TECHNICAL**
20 **ARRANGEMENT IS “TECHNICALLY FEASIBLE” WITHIN THE**
21 **MEANING OF THE 1996 TELECOMMUNICATIONS ACT AND THE**
22 **FCC’S RULES?**

23 A. Yes. The FCC has specifically ruled that these kinds of safety and
24 network reliability issues form a critical component of the technical
25 feasibility analysis. In paragraphs 198 and 203 of its *Local Competition*

1 *Order*,⁵ the FCC recognized the primacy of network safety:

2 198 . . . Specific, significant, and demonstrable
3 network reliability concerns associated with
4 providing interconnection or access at a particular
5 point . . . will be regarded as relevant evidence that
6 interconnection or access at that point is technically
7 infeasible.

8 203 . . . [L]egitimate threats to network reliability
9 and security must be considered in evaluating the
10 technical feasibility of interconnection or access to
11 incumbent LEC networks. Negative network
12 reliability effects are necessarily contrary to a
13 finding of technical feasibility.

14

15 **Q. HAVE OTHER STATE COMMISSIONS RECOGNIZED THE RISKS**
16 **POSED BY COPPER ENTRANCE FACILITIES?**

17 **A.** Yes. The Massachusetts Department of Telecommunications and
18 Energy (“DTE”) specifically rejected a proposal to extend third-party
19 copper cables into Verizon’s (formerly Bell Atlantic’s) central offices for
20 safety reasons. The DTE found that to approve such a proposal would
21 introduce “significant network safety and reliability risks to Bell Atlantic
22 network facilities and personnel. The electrical connectivity properties of
23 copper significantly increase the potential for damage to Bell Atlantic’s
24 facilities, outages or network disruption, and could possibly harm Bell
25 Atlantic’s employees.”⁶

1 Q. PLEASE ADDRESS THE SPACE EXHAUST CONCERNS
2 ASSOCIATED WITH COPPER ENTRANCE FACILITIES.

3 A. The second problem with allowing ALECs to deploy copper facilities to a
4 Verizon central office is the potential for premature and rapid exhaust of
5 conduit, manhole, cable vault, and riser space. A 3200 pair copper
6 cable, which can provide up to 3200 voice grade services, is more than
7 twice the thickness of a fiber OC-48 multiplexer, which can carry over
8 *ten times* as many lines. Put another way, to have the same capacity as
9 the fiber OC-48, a copper cable would have to be over twenty times as
10 thick as the fiber cable. Moreover, these comparisons are simply for the
11 cabling; copper cables require considerable additional bulky equipment
12 (e.g., splice cases, protector frames, and intermediate distribution
13 frames) that is not necessary for fiber.

14

15 The FCC has recognized “the potential adverse effects of such
16 interconnection on the availability of conduit and riser space.”⁷ This
17 Commission should do the same.

18

19 VI. MR. KING’S POWER PROPOSALS ARE INCONSISTENT WITH
20 INDUSTRY STANDARDS.

21

22 Q. PLEASE ADDRESS MR. KING’S ASSERTION THAT FUSE SIZES OF
23 70 AMPS OR GREATER SHOULD BE PROVISIONED FROM THE
24 ILEC POWER DISTRIBUTION BOARD, IF REQUESTED BY THE
25 ALEC. (pg 8).

1 A. Mr. King suggests that individual ALECs should be able to dictate
2 whether their fuse sizes of 70 amps or greater are terminated to a
3 Battery Distribution Fuse Bay (BDFB) or to the main power plant. But
4 BDFBs are meant to be used as secondary distribution points and are
5 designed to shorten distribution cable lengths and to alleviate
6 congestion at the main power distribution board. Indeed, BDFBs are not
7 equipped to accommodate power feeds of greater than 70, or in some
8 cases even 60, amps.⁸

9
10 In addition, Verizon Florida's engineers have a responsibility to
11 maximize the efficiency of power distribution to the equipment of *all*
12 ALECs as well as to Verizon Florida's own equipment; they cannot carry
13 out that responsibility effectively if individual ALECs can dictate to them
14 where to terminate particular power feeds. Verizon Florida will distribute
15 DC power in accordance with Verizon technical specifications and
16 industry standards in order to ensure the integrity and safety of the
17 network and, more important, of the employees who work on it.

18

19 **Q. PLEASE SUMMARIZE MR. KING'S PROPOSAL FOR CALCULATING**
20 **POWER CHARGES. (pg 9).**

21 A. Mr. King first recommends "the actual placement of meters" to measure
22 the "amperage drained by the [ALEC's] collocation equipment." King
23 Test. at 9-10. However, Mr. King concedes, as he must, that "meters or
24 measuring facilities [may be] unavailable or not economically feasible."
25 *Id.* at 10. As a back-up option, Mr. King proposes charging for power

1 usage based on the “List 1 Drain of installed equipment as provided by
2 the equipment vendors.” *Id.* at 9.

3

4 **Q. WOULD THE INSTALLATION OF METERS TO MEASURE ACTUAL
5 USAGE BE FEASIBLE?**

6 A. No. As I explain at page 13 of my direct testimony, placing meters to
7 monitor usage is not feasible from a practical or cost standpoint. This
8 point has been recognized by the FCC⁹ and by ALECs in other
9 proceedings.¹⁰

10

11 **Q. WHAT WOULD BE THE PRACTICAL EFFECT OF USING LIST 1
12 DRAIN AS A PROXY FOR ACTUAL USAGE?**

13 A. ALECs would likely use more power than they would pay for. List 1
14 Drain represents the manufacturer specifications for *normal* operating
15 conditions. That is, List 1 is the *minimum* amount of power that a fully
16 loaded piece of telecommunications equipment will draw while in use.
17 By proposing to cap power charges at List 1 Drain, Mr. King is actually
18 suggesting that ALECs should not have to pay for any increased power
19 usage caused by non-ideal conditions such as the inevitable surges or
20 spikes in current, or drops in the normal float voltage of the power
21 system. That these increases in power drain are indeed inevitable is
22 illustrated by the fact that manufacturers also specify a List 2 Drain for
23 each piece of telecommunications equipment, which is enough higher
24 than List 1 to account for expected, non-“normal” operating conditions.

25

1 While List 2 Drain would clearly be a more realistic proxy for actual
2 power usage than List 1 Drain, Verizon Florida does not propose to tie
3 ALECs to any manufacturer specified drainage level in charging for
4 power. Rather, Verizon Florida engineers provision power based on
5 *ALEC* load and fuse specifications. That is, Verizon Florida lets ALECs
6 order power at whatever load they desire, so they can already order
7 power corresponding to the List 1 Drain specifications of their equipment
8 if that is what they want. Of course, doing so would put them at risk for
9 equipment failures and/or audit penalties during voltage spikes, but the
10 option is theirs. Thus, there is no need for the Commission to designate
11 List 1 Drain as a proxy for actual usage.

12

13 **Q. PLEASE COMMENT ON MR. KING'S ASSERTION THAT VERIZON**
14 **HAS "ADVOCATE[D] ACTUAL 'LOAD' AS THE CORRECT METHOD**
15 **OF CHARGING POWER" IN NORTH CAROLINA. (pg 10).**

16 A. Mr. King's statement is correct in that Verizon did advocate — exactly as
17 it is proposing here — that an ALEC's power charges should be based
18 on the load amperage that it specifies it will actually require for its
19 equipment. However, Mr. King's implication that Verizon has endorsed
20 metering or a flat-rated usage proxy is entirely misleading and false. In
21 every state tariff, Verizon bills ALECs for load amps as opposed to fused
22 amps, and Verizon bills the ALECs for precisely what they order. The
23 ALEC, on its application, specifies the amount of load amperage
24 required for its collocation configuration (as well as the fuse capacity for
25 each power feed), and the ALEC is billed based on that specified load

1 amperage. The ALEC is presumed to know its own power needs. That
2 is what it means to say Verizon charges based on “actual” load.

3

4 **Q. PLEASE ADDRESS MR. KING’S PROPOSALS REGARDING WHEN**
5 **AN ILEC SHOULD BE ALLOWED TO BEGIN BILLING AN ALEC FOR**
6 **POWER. (pg 11).**

7 A. As with other collocation provisioning expenses, Mr. King would have
8 the Commission ignore basic principles of cost recovery and allow the
9 ALEC to unilaterally delay paying for power that Verizon Florida has
10 incurred unrecovered costs to provision. He proposes that ALECs not
11 be billed for power until “power is being . . . used by the ALEC.” King
12 Test. at 11.

13

14 As I explained at page 13 of my direct testimony, though, Verizon
15 Florida incurs significant fixed investment costs to bring power to a
16 requesting ALEC’s collocation space, regardless of whether the ALEC is
17 actually drawing current. Verizon Florida should thus be entitled to
18 begin recovering that investment once it relinquishes collocation space
19 to the ALEC. At that point, the ALEC actually receives the benefit of
20 Verizon Florida’s initial infrastructure investment, since, as Sprint’s
21 expert explained, “[o]n that date, the ALEC has the capability of drawing
22 power.” Davis Test. at 10. As I discuss above, the date that an ALEC
23 installs or activates equipment within its space is not relevant to when
24 Verizon Florida is entitled to cost recovery, and a rule permitting an
25 ALEC to unilaterally delay Verizon Florida’s recovery of the costs the

1 ALEC forced Verizon Florida to incur at the ALEC's request would lead
2 to gamesmanship.

3

4 **Q. HAVE OTHER STATE COMMISSIONS RESOLVED THIS ISSUE?**

5 A. Yes. For example, in Massachusetts, the DTE recognized that ALEC
6 power requests could lead to Verizon having to augment its power plant
7 with additional batteries, rectifiers and/or BDFBs, and that in such
8 instances Verizon would be "incurring up-front costs to accommodate
9 CLEC equipment."¹¹ The DTE held that "Verizon's Power Consumption
10 rate element should be assessed upon immediate occupation because
11 Verizon reserves a portion of its DC amp capacity in response to a
12 CLEC's collocation application," and that "[b]y recovering the Power
13 Consumption charge once space is turned over, the cost structure will
14 create an incentive for CLECs to be prudent in seeking to collocate,
15 which will reduce the likelihood of Verizon incurring up-front investments
16 that may go unused and unnecessarily exhausting CO space." *Id.* at
17 419-20.

18

19 In addition, as we discuss above, all of Verizon's tariffs permit it to
20 commence billing of monthly charges, including power charges, no later
21 than 30 days after notification that Verizon has completed the requested
22 space.

23

24 **Q. PLEASE ADDRESS MR. KING'S ASSERTION THAT ALECS**
25 **SHOULD BE ALLOWED TO HAVE AC POWER FEEDS IN THEIR**

1 **COLLOCATION SPACE. (pg 11).**

2 A. As I explained in my direct testimony, Ries Test. at 14, permitting
3 ALECs to build multiple, separate power plants in Verizon Florida central
4 offices significantly increases safety risks. Mr. King does not address
5 this concern at all. Instead, he makes two entirely unsupported
6 assertions: ALECs need an AC power feed to “place AC powered
7 equipment in their collocation space,” and it “may” be more economical
8 for an ALEC to provide its own DC power conversion. King Test. at 11.
9 The first is a red herring: Verizon Florida already provides AC
10 convenience outlets in the collocation area for equipment testing
11 purposes. It is highly doubtful that an ALEC would actually use any
12 other kind of AC-powered equipment. Telecommunications equipment
13 is virtually always DC-powered because with DC power, an interruption
14 will not result in an equipment failure because the DC batteries provide
15 a continuous flow of power until the main power source is restored; by
16 contrast, AC-powered equipment would be subject to interruption.

17

18 In any event, permitting ALECs to run AC-powered telecommunications
19 equipment would put a considerable additional load on the AC service
20 panels. New investment would be required and Verizon Florida would
21 have to conduct a new cost study and create a new rate element.

22

23 Mr. King’s second assertion — that ALECs should be allowed to convert
24 AC power to DC power because it “may” be cheaper — is directly
25 contradicted by AT&T’s own testimony in other proceedings. In the

1 recently concluded compliance filing proceeding before the
2 Massachusetts DTE, AT&T witness Nurse has testified that converting
3 AC power to DC power would require ALECs to “build an expensive DC
4 power plant with battery back-up, rectifiers, controllers, and stand-by
5 generation, the cost of which could be prohibitively expensive.”¹² As Mr.
6 Nurse put it, “such efforts would be duplicative and inefficient.” *Id.* And
7 AT&T witness Turner explained to the Hawaii Public Utilities
8 Commission: “The equipment necessary to convert AC power to DC
9 power, and provide for the various forms of emergency backup (battery
10 and diesel generation), requires a significant amount of space”¹³ —
11 space that would be inefficiently used and would contribute to
12 exhaustion.

13

14 Finally, as Sprint’s expert notes, the uninterrupted power source (“UPS”)
15 that would be required for an ALEC to use AC power beyond testing
16 purposes presents serious safety concerns: “UPS devices contain acid
17 that can leak or release harmful fumes into the central office. In
18 addition, the use of UPS devices poses a hazard during emergencies.”
19 Fox Test. at 18.

20

21 **VII. VERIZON FLORIDA’S POLICY OF NOTIFYING ALECS WHEN**
22 **COLLOCATION SPACE IS EXHAUSTED IS REASONABLE.**

23

24 **Q. PLEASE ADDRESS MR. KING’S ASSERTION THAT THE ILEC**
25 **“OWES TO THE ALEC COMMUNITY A PLAN OF ACTION AS TO**

1 **WHEN NEW CONSTRUCTION OF A REMOTE TERMINAL WILL BE**
2 **COMPLETED” WHEN SPACE IS NOT AVAILABLE AT A REMOTE**
3 **TERMINAL OR THAT REMOTE TERMINAL IS NEAR EXHAUSTION.**
4 **(pg 11).**

5 A. Verizon Florida has made clear that it will share with ALECs and the
6 Commission useful information that it has regarding space availability,
7 both at central offices and at remote terminals. Verizon Florida will list
8 on its web site every remote terminal where an application for
9 collocation has been denied due to exhaustion. Verizon Florida will also
10 file an exemption package with the Commission supporting the denial at
11 each such location. The exemption package will detail any known plans
12 for relief for the exhausted site.

13

14 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

15 A. Yes, it does.

16

17

18

19

20

21

22

23

24

25

1 CHAIRMAN JABER: Go ahead with the summary.

2 BY MR. McCUAIG:

3 Q Mr. Bailey, you may begin with your summary.

4 A Good morning, Lady Chair. Good morning,
5 Commissioners. Because of the extensive discussion yesterday
6 on a number of issues my summary has changed. I will -- while
7 I will briefly address all issues, I'm going to try to focus
8 only on the issues where there was some confusion or maybe it
9 wasn't fully addressed.

10 COMMISSIONER DAVIDSON: The question on the summary,
11 though, does the summary reflect what was filed as direct
12 testimony, or are you going beyond what was filed?

13 THE WITNESS: I guess there's a modification to my
14 position on Issue 3 relative to transfer of space based on my
15 understanding from yesterday's discussion. You want me to
16 elaborate?

17 CHAIRMAN JABER: It begs the question for Verizon
18 counsel, did you communicate that to the parties?

19 MR. McCUAIG: Our understanding of Issue 3 based on
20 the issue as it was presented and based on the parties'
21 prefiled direct testimony was focussed more on collocation
22 space, transfer the actual space as opposed to the acquisition
23 by one CLEC of another CLEC's arrangements and in-place
24 customers and that sort of thing. Mr. Bailey's position with
25 respect to our understanding of the issue space qua space has

1 not changed at all. What I think his testimony is going to say
2 is that Verizon is certainly more flexible with respect to the
3 acquisition of in-space customers, and that's just based on an
4 understanding that was gleaned yesterday.

5 CHAIRMAN JABER: Commissioners, here's what I'd like
6 to do. We certainly asked questions in that regard yesterday,
7 so I'd like to give some flexibility. Let's hear the summary.

8 But, you know, personally, I've never seen you
9 practice in front of the Florida PSC. You'll find that we
10 avoid surprises. This is a process that lends itself to
11 communication among the parties. I would encourage you in the
12 future anytime there's a development, you need to communicate
13 it to the parties. It makes for a more efficient process.

14 I'll allow the summary subject to whatever objections
15 might be appropriate, but we should recognize that
16 Commissioners asked these questions yesterday as well, so --

17 MR. McCUAIG: Thank you.

18 CHAIRMAN JABER: Go ahead, Mr. Bailey.

19 THE WITNESS: On Issue 1A, Verizon's position is
20 similar to Sprint's. We've got an application fee that should
21 accompany the application, and then the remainder of the
22 nonrecurring charges, 50 percent of those should be provided
23 with the firm order and 50 percent of those should be billed
24 once the space is turned over. Beyond the reasons that Sprint
25 has provided for that, the FCC has supported that position in

1 the past, and we believe it provides the proper incentives to
2 the ALECs for ordering collocation.

3 On Issue 3, there was a lot of confusion on that
4 issue yesterday. The FCC has said that the ILEC should
5 maintain ultimate responsibility for assigning collocation
6 space within its premises. That being the case, there should
7 not be a rule that says the ALECs can transfer space without
8 Verizon's permission; however, that doesn't mean that Verizon
9 would withhold that permission unreasonably. The starting
10 point for this process should be the methodology that BellSouth
11 laid out in their testimony.

12 In addition to that, Verizon -- there's two other
13 points that Verizon would like to see addressed. The first has
14 to do -- Verizon would require that neither of the transferring
15 parties have large unpaid balances. In other words, we don't
16 want the transfer process to be used possibly as a method for
17 circumventing the bankruptcy laws.

18 The second point that we would like addressed is,
19 what is the disposition of the collo space? Is it at or near
20 exhaust? Are there other applications pending for space in
21 that central office? Our concern there is that there might
22 perhaps be an issue with the FCC's first-come, first-served
23 rules. And the last subpart of that would be, does Verizon
24 have other need for that particular space that when looked at
25 in the grand scheme of managing space in the central office it

1 might make more sense for that ALEC to be located someplace
2 else? However, given -- the bottom line is that Verizon would
3 take all that information and analyze it and see if it would
4 make sense to grant permission. But I want to stress again
5 that we would not unreasonably withhold permission to transfer
6 space.

7 On Issue 4, again, for the reasons identified by
8 BellSouth and Sprint, Verizon does not believe it's appropriate
9 for the ILEC to be required to allow copper entrance facilities
10 into the central office in the context of inside the central
11 office collocation. It creates safety issues and space exhaust
12 issues.

13 On Issue 5, Verizon's position is that the power rate
14 should be one-amp increments with a 10-amp minimum.

15 On Issue 6, which seems to be -- or 6A and 6B would
16 seem to be everybody's favorite issue. I'm not going to
17 restate everything that the other parties have stated on power.
18 The only thing that I would like to add is that Verizon's not
19 yet convinced of the practicality and the feasibility of
20 metering. And the reason we state that is, as far as we can
21 tell, only one ILEC has actually implemented a metering
22 solution and that's SBC in Illinois. And I've had
23 conversations with Verizon engineers that have talked to their
24 engineers, and they have said that there have been
25 implementation issues associated with that. And so I think

1 that needs to be flushed out a little bit more before that
2 conclusion can be drawn.

3 On 6C, again, for the reasons that BellSouth and
4 Sprint identified, we believe that the DC power rate should
5 begin at the time space is turned over.

6 On Issue 7, the Commission should understand that
7 Verizon allows -- or provides AC convenience outlets now to the
8 collocation arrangements. If this issue is about AC power
9 feeds to power telecommunications equipment on a 24-hour-a-day,
10 7-days-a-week basis, Verizon's concern is that we're not sure
11 how that AC power is going to be backed up. It kind of speaks
12 to the point that the Sprint witness made a minute ago. You
13 know, our DC plant is backed up with batteries and rectifiers.
14 We're not sure there's a way to do that with the AC power, so
15 there's a chance that that AC feed could fail. If everyone
16 understands that and is okay with that, we can develop a rate
17 for that and a service offering, but we don't have that today.

18 Finally, this issue is about placing batteries and
19 rectifiers inside the telecommunications space, inside their
20 cage to do basically what we do with our DC power plant,
21 convert the AC to DC and back it up and everything; then
22 Verizon does have concerns because there's safety issues
23 associated with that. There's floor loading issues associated
24 with that. It would take up space in the telecommunications
25 part of the central office that otherwise would be used for

1 collocation.

2 And on Issue 8, Verizon's position is that exhaust at
3 a remote terminal should be handled just as it is at a central
4 office. And that concludes my summary.

5 CHAIRMAN JABER: Thank you, Mr. Bailey.

6 MR. McCUAIG: The witness is available for
7 cross-examination.

8 CHAIRMAN JABER: Okay. Mr. Feil.

9 MR. FEIL: Thank you, Madam Chair.

10 CROSS EXAMINATION

11 BY MR. FEIL:

12 Q Good morning, Mr. Bailey.

13 A Good morning.

14 Q My name is Matt Feil; I'm with FDN Communications. I
15 have a few questions for you. Let's start first with respect
16 to Issue 3. On Issue 3, from your summary what I understood
17 you to be saying is that everything that Mr. Gray said, the
18 BellSouth Witness Gray said regarding transfer of collocation
19 space from one ALEC to another you agreed with. Is that a fair
20 statement?

21 A Yes, sir.

22 Q So to the extent your prefiled testimony was
23 inconsistent with Mr. Gray's testimony, you abide by Mr. Gray's
24 testimony?

25 A With the caveats that I laid out in my summary, yes.

1 Q Okay. To your recollection, did Mr. Gray say
2 anything about unpaid balances of collocators?

3 A No. That's why I added that.

4 Q When you added that as a proviso, were you referring
5 to just unpaid balances, disputed balances, disputed amounts,
6 undisputed amounts? Which categorization were you referring
7 to?

8 A Any type of unpaid balance.

9 Q So you're thinking an unpaid disputed balance even if
10 the selling ALEC disputed the bills from Verizon that somebody
11 would have to pay those before Verizon would approve a transfer
12 of the collocation space. Is that what you're saying?

13 A No.

14 Q Okay.

15 A I didn't say that those balances had to be paid. I
16 said that that issue needs to be addressed, that generally in
17 a -- that issue would be addressed in a bankruptcy proceeding
18 if that's where that was ended up or it would end up in
19 negotiations with our collections people. I'm just saying that
20 can't be an unresolved issue prior to the transfer of the
21 space.

22 Q So you're saying if there are disputed unpaid
23 balances, the parties would have to sit down and say, okay,
24 this is how we're going to address this dispute over this
25 period of time, or it's going to be filed with the Commission

1 or what have you?

2 A Yes.

3 Q Okay. And if it was an undisputed but unpaid
4 balance, your position is that one of the ALECs is going to
5 have to pay the unpaid undisputed balance?

6 A Yes.

7 Q Before Verizon would approve the transfer or process
8 the transfer; is that --

9 A Yes.

10 Q You mentioned in your summary and also in your
11 testimony -- I guess this is where I'm a little bit confused
12 here on the dovetail in your summary into your -- or Mr. Ries's
13 rebuttal testimony, more specifically.

14 On Page 9 of your rebuttal testimony at the top, you
15 refer to the bankruptcy rules. You also refer to this in your
16 summary. Which bankruptcy rules in particular are you
17 referring to?

18 A My understanding is that Section 365 of the
19 Bankruptcy Code is the applicable section, but my expertise in
20 that area is limited to being able to tell you that's the
21 section that applies.

22 Q Okay. So you don't know exactly what Section 365 of
23 the Bankruptcy Code says?

24 A I know it speaks to a cure for an inquiring entity
25 has -- there has to be a cure for the unpaid balances, but

1 that's the extent of my knowledge.

2 Q So you can't tell me whether or not that pertains --
3 or addresses collocation specifically or contracts or what it
4 pertains to?

5 A No, sir.

6 Q Okay. If I could turn to Issue 6 now.

7 COMMISSIONER DAVIDSON: Chairman? I'm sorry. Could
8 I jump in here on Issue 3 before we move on that?

9 On Page 7 of your direct, you state that while an
10 ALEC may sublease its collocation space to another party, it
11 may not transfer the entire space to another ALEC. You
12 conclude that paragraph with a transfer space to a third party
13 without Verizon's input or knowledge would undermine Verizon's
14 ability to control and maintain its premises.

15 On that issue, how would a transfer of collocation
16 space undermine Verizon's ability to control and maintain its
17 premises in a way -- how would a transfer of space undermine
18 Verizon's control in a way that a sublease -- let's assume it's
19 an entire sublease -- would not?

20 THE WITNESS: That's an interesting question. In my
21 preparation for the hearings, I gave that a lot of thought
22 because the FCC has imposed the requirement for us to allow the
23 sublease of space. They have also imposed the requirement to
24 adhere to a first-come, first-serve basis.

25 COMMISSIONER DAVIDSON: Well, I'm actually trying to

1 get just from a practical standpoint in terms of whatever goes
2 into control and maintaining premises. That aspect, whatever
3 that means from Verizon's standpoint, I want to better
4 understand how a transfer would impact that ability to maintain
5 and control in a way that a transfer would not.

6 THE WITNESS: You mean a sublease?

7 COMMISSIONER DAVIDSON: Aside from the legal
8 obligations, just in terms of whatever goes into maintaining
9 and controlling, how are those two things different?

10 THE WITNESS: A transfer at the time this testimony
11 was written was envisioned as a transfer where Verizon had no
12 input into the process. It was one CLEC saying to another,
13 hey, do you want this space? Come on over. In that scenario,
14 I don't have any input or any control over who comes into that
15 space, whether or not someone else might have been on a waiting
16 list, whether or not there would have been another collocation
17 application in process such that, okay, CLEC B applied
18 first but CLEC A -- you know, there's this transfer agreement
19 happening. And if there's no rules, no guidelines, no
20 permission, CLEC A could get in there before CLEC B even though
21 CLEC B applied first.

22 COMMISSIONER DAVIDSON: And explain to me -- compare
23 that then to the situation of a sublease, and let's assume it's
24 an entire sublease. CLEC 1 subleases its entire collocation
25 premises to CLEC 2 pursuant to Verizon's tariff. In that

1 situation of a sublease, what type of control and maintenance
2 over the premises does Verizon maintain?

3 THE WITNESS: First of all, in your scenario they
4 wouldn't be able to sublease their whole space -- well, I guess
5 they could, but they're still on the hook financially, and
6 they're still responsible for what happens in the space. In a
7 sublease arrangement the host is responsible for all of the
8 space, even the space that is subleased. The billing goes to
9 the host. They have an agreement with their guest. But from a
10 collocation perspective, we don't bill that guest. We only
11 bill the host. They have some agreement worked out between
12 them to get the charges back.

13 So from maintenance -- I'm sorry, maybe not answering
14 your question.

15 COMMISSIONER DAVIDSON: Go ahead.

16 THE WITNESS: In a transfer also I'm billing somebody
17 new, and in a sublease I'm not billing somebody new. That host
18 maintains responsibility for the space even though they let
19 someone else in.

20 Did that answer your question, sir?

21 COMMISSIONER DAVIDSON: It did. Thank you.

22 If CLEC-to-CLEC transfers were allowed by the FCC or
23 the PSC, sort of free transfer CLEC to CLEC, what would be on
24 your top five list of reasonable terms and conditions to, for
25 example, prevent CLECs from circumventing certain debts or to

1 prevent arbitrage opportunities or to otherwise avoid a
2 negative impact on the ILEC? How would you condition transfers
3 CLEC to CLEC if you could be granted a wish list?

4 THE WITNESS: Well, absolutely number one on my wish
5 list would be that the issue of the outstanding balances be
6 addressed. Number two would be that Verizon is granted the
7 ability to weigh the transfer with regards to the whole central
8 office, everything going on in the central office. Those are
9 the top two, and the rest of the conditions that the BellSouth
10 witness laid out. I mean, that process seems like a process
11 that could work.

12 COMMISSIONER DAVIDSON: In terms of weighing the
13 transfer regarding the whole central office, and I know that
14 you're talking on the cuff here, but what would go into that
15 weighing process?

16 THE WITNESS: Again, the issues of whether or not
17 it's a space exhaust situation, whether or not there are other
18 collocation applications in the pipe, so to speak, such that we
19 need to make sure everyone is treated fairly, and thirdly would
20 be Verizon's need -- you know, perhaps -- pretend it's an
21 office that experienced a boom in collocation and then a
22 contraction in the marketplace to where some of the CLECs had
23 gone out of business and space had freed up in different areas.
24 And maybe during the boom in building collocation we had to put
25 a cage in a spot such that it might interfere in the future

1 with the build out of power plant or the build out of the
2 switch, all we're asking is that if some scenario like that
3 arose, that we'd have the ability to sit down and talk with the
4 ALECs and say, look, in the future we could need this space to
5 build out the switch or build out the power plant, you know,
6 can we work out something for you to take this space over here
7 which is also available? That's the kind of issue I'm talking
8 about.

9 COMMISSIONER DAVIDSON: Thank you. That's all I
10 have, Chairman.

11 COMMISSIONER BAEZ: Mr. Bailey, I had a question on
12 your -- you enumerated certainly what your first priority would
13 be in terms of this transfer process, that to be the
14 uncollected balances or any outstanding balances. Can you walk
15 me through -- I guess I understand what the concerns are
16 certainly, but can you explain for me how that works as an
17 incentive or how that works as a safeguard against the
18 transfer, how the impact on the transfer of that space works to
19 your advantage?

20 THE WITNESS: Well, we've got -- I don't know if
21 you -- there's a process within Verizon called, you know,
22 embargo, and basically that means if --

23 COMMISSIONER BAEZ: That's a heck of a word.

24 THE WITNESS: Yes, sir, I understand. That if we've
25 gone -- we've been negotiating with a CLEC trying to come to a

1 resolution of, you know, disputed balances and, you know,
2 there's not progress there, we would never turn down any of
3 their current services, but we might, you know, not allow them
4 to order new services.

5 COMMISSIONER BAEZ: Okay.

6 THE WITNESS: And so our concern is maybe the
7 transfer process could be used to circumvent that. Basically
8 it's just an issue of, you know, there's a disagreement between
9 the parties about whether or not there's money to be paid, and
10 we just think that should be resolved.

11 COMMISSIONER BAEZ: And maybe I'm confused about
12 something. Are you speaking or are you referring to the unpaid
13 balances of the transferring company or the unpaid balances of
14 the acquiring CLEC? Because I can understand one and probably
15 don't understand the other.

16 THE WITNESS: Primarily it's the unpaid balances of
17 the transferring company, the company that's looking to get out
18 of the space.

19 COMMISSIONER BAEZ: And are the balances that you're
20 referring to specifically for collocation services or, you
21 know, the whole -- the bulk of whatever your services are for
22 that CLEC?

23 THE WITNESS: It would be collocation balances.

24 COMMISSIONER BAEZ: And I guess that's where I'm
25 stuck. Can you explain for me how holding up a -- and I guess

1 we've heard a lot of testimony about space sitting around, not
2 recovering costs that have been sunk in terms of infrastructure
3 and whatnot, what the logic is behind essentially keeping that
4 space fallow and not getting paid for under a current agreement
5 will -- do you see what I'm getting at? I mean, if the
6 hypothetical CLEC is not paying your collocation bills and yet
7 here's a transfer to someone that perhaps might, how is that
8 not in the company's interest?

9 THE WITNESS: Yes, sir, I understand your question.
10 I guess from our perspective, it would be that, well, there's
11 other collocation space that we could put them in and allow
12 them to pay for that space, but we still have an outstanding
13 issue with the CLEC that's trying to get out of that space with
14 unpaid bills. You know --

15 COMMISSIONER BAEZ: Go ahead. I'm sorry.

16 THE WITNESS: No. That's all I had, sir. I'm sorry.

17 COMMISSIONER BAEZ: Okay. Thank you.

18 CHAIRMAN JABER: Commissioner Baez, if I could follow
19 up your question. It was very helpful to me because I have to
20 tell you that I thought your concern over balances was with
21 respect to the company coming in, and I think that's what we
22 heard from the BellSouth witness yesterday. So I appreciate
23 the clarification. And I guess if the concern is with the new
24 company coming in, I understand that because that's a
25 relationship you're going to build for the future. And if

1 you've got past history of uncollectibles, I would appreciate
2 the concern.

3 If your greater concern is with the company leaving,
4 aren't there court -- isn't there a court action you could take
5 such that you don't inadvertently penalize the new company
6 coming in?

7 MS. RONIS: Madam Chair -- and please tell me if I'm
8 out of order here -- I see that as a legal issue, and I think I
9 can quickly put this whole issue to rest and give you some
10 context. Would that be appropriate?

11 CHAIRMAN JABER: I think so, I think so. And I think
12 you could -- the parties, if you could be real clear, why don't
13 we just have you address it in the brief?

14 But, Ms. White, I thought your witness spoke to the
15 concern related to the companies coming in. So why don't we
16 just have you address and clarify for us in the brief what the
17 concern is? Maybe it's both. Cite to record evidence as
18 appropriate, and you can include the legal discussion in the
19 brief, that's fine.

20 MS. RONIS: Okay. So you don't want me to answer the
21 court action legal question?

22 CHAIRMAN JABER: Go ahead and answer it now, but --

23 MS. RONIS: What Verizon is very worried about is
24 currently around the country there are proceedings in
25 bankruptcy courts and even a proceeding at the FCC that

1 addresses the issue, what happens when a second CLEC is buying
2 the assets of a first and he just wants to move in? The
3 Bankruptcy Code has -- Section 365 is, if you're going to take
4 over the contract of a first party, you must assume and cure.
5 And I'm not expecting you to rule on that, we just don't want
6 the CLECs to use this case to go running to the bankruptcy
7 court and say, I don't care what the Bankruptcy Code --

8 CHAIRMAN JABER: Okay. Now you're getting into
9 testimony.

10 MS. RONIS: Okay.

11 CHAIRMAN JABER: The legal question I thought you
12 were saying you were going to address is, is there a legal
13 remedy for addressing balances of companies that are leaving
14 the collocation space? That's all my legal question --

15 MS. RONIS: And we're assuming they're in bankruptcy
16 court already, so that's how this debate is arising. We're
17 usually last in line, unfortunately, behind all the other
18 creditors, and there's usually not much left for us. So we
19 need to avail of ourselves of other Bankruptcy Code provisions,
20 and we'll leave for that the bankruptcy court, but we don't
21 want this Commission --

22 CHAIRMAN JABER: Well, I'd like for you all to
23 address it in the brief. And to the degree there's additional
24 information that the ALECs have, feel free to address it in the
25 brief.

1 Commissioner Baez.

2 COMMISSIONER BAEZ: I was going to make the same
3 suggestion you just did because there is perhaps -- that will
4 perhaps shape what an order looks like, what language in an
5 order may look like if there are safeguards that have to be
6 preserved.

7 CHAIRMAN JABER: Thank you, Mr. Bailey.

8 Mr. Feil.

9 BY MR. FEIL:

10 Q One follow-up question to the -- what the
11 Commissioners were asking. If there were balances owed by the
12 seller entity or the buyer entity, is it correct to say that
13 Verizon would have whatever remedies it would have against the
14 seller and the buyer pursuant to the tariff or the
15 interconnection agreements of those respective ALECs?

16 A Yes, there could be remedies laid out in the ICA and
17 the tariff.

18 Q All right. Turning to Issue 6. Could I have you
19 refer to Mr. Ries's direct testimony on Page 11? Starting
20 there at Line 10, I want to make sure I understand your
21 testimony here. The first sentence there -- I want to parse
22 through this a little bit step by step. Starting with Line 10
23 it begins, "This approach."

24 A Yes, sir.

25 Q Okay. The idea here, as I understand it, is, one, to

1 have full redundancy on the power feeds, and two, that the
2 equipment -- or excuse me, that the ALEC is paying for the
3 power load that its equipment draws. Those are basically the
4 two principles announced in that sentence; correct?

5 A Actually, power load that was ordered.

6 Q I'm sorry. Could you repeat that?

7 A Actually, power load that was ordered I think is what
8 that sentences says.

9 Q Okay. Well, the power load that is ordered. Is the
10 power load that is ordered that which the equipment can draw?

11 A It depends on how your engineers design your -- from
12 Verizon's perspective, it's your responsibility to design the
13 power consumption of your collocation arrangement. I assume
14 you have engineers that take that into account.

15 Q What about in the context of a virtual collocation
16 where Verizon actually installs the equipment?

17 A But you still tell us the load and the fuse that you
18 want. You still designed.

19 Q Okay. And then you get into an example there
20 starting at Line 12, "If an ALEC required 20 amps of power for
21 its collocation arrangement." In your example here, are we
22 assuming that the draw of the equipment is going to be 20 amps?

23 A Yes.

24 Q Okay. You say, "A probable configuration would be 10
25 amps of power on the A feed and 10 amps of power on the B

1 feed." How is that full redundancy, if you have 10 amps of
2 power on an A feed and 10 amps of power on a B feed and the
3 draw of the equipment, as you said, is 20 amps?

4 A Well, the assumption inherent in that example is that
5 equipment load shares. In other words, in a normal
6 operating -- when it's operating normally, it draws half the
7 load on the A, half the load on the B. If either of the lead
8 fails, the circuitry inside the equipment would shift the load
9 to the other feed.

10 Q But if I have a 10-amp A feed and the B feed fails,
11 how do I get 20 amps on an A feed?

12 A No, sir. You have 10 amps of power being drawn over
13 that A feed. And maybe there's a misunderstanding about how
14 you order power in Verizon. When you submit the application,
15 you submit to me the load amps that you want and the feed amps
16 that you want. I allow you to fuse up to two and a half times
17 the load on any given feed, so that load that you're drawing --
18 that feed that you're drawing 10 amps over would be fused at
19 25.

20 Q That's not my question, Mr. Bailey.

21 A All right. I'm sorry. I don't understand.

22 Q Going into this example you said that this is
23 equipment with a 20-amp draw. You said that we have an A feed
24 of 10 and a B feed of 10. So if one feed fails and we're
25 supposed to have full redundancy with a 20 amp drawing the

1 equipment, how do I have full redundancy in the event one feed
2 fails?

3 A I think perhaps you're misreading what is in the
4 testimony. It says, "The configuration would request 10 amps
5 of power on the A cable feed and 10 amps of power on the B
6 cable feed."

7 Q So I'm not requesting full redundancy in your
8 example?

9 A You are requesting full redundancy.

10 Q How am I requesting full redundancy if it's a 20-amp
11 draw on the equipment?

12 A Because the equipment load shares.

13 COMMISSIONER DEASON: I believe what it is, is you
14 can get 20 on either one. You could do it on 20 on A or you
15 could do 20 on B. In this example, you're just load sharing.
16 There's redundancy because if one fails, the other has the
17 capacity of providing the 20 amps you need.

18 MR. FEIL: Well, maybe that's my question.

19 BY MR. FEIL:

20 Q If I order a 10-amp feed on cable A, how is that
21 redundancy if A fails?

22 A On your order you said you're going to draw 10 amps
23 over A. You didn't tell me to fuse A at 10 amps. You would
24 have told me to fuse A at 25 amps. So if A and B are both
25 fused at 25 amps and in a normal operating capability they're

1 both drawing 10 amps, if one of the feeds fails, the equipment
2 is going to shift the other 10 amps of load over to the other
3 feed which will be fused at 25 amps. That feed would not fail.

4 Q Are you assuming that the feed is sized to carry
5 20 amps?

6 A Absolutely. When you submit the application and you
7 tell me that you want an A feed and a B feed, 10 load on A, 10
8 load on B, and you tell me to fuse both A and B at 25, I have
9 to put a cable in that will handle the capability of the fuse.

10 Q Okay. So you're saying that in this example the
11 feeds are sized so that they can have the capability of
12 carrying 20 amps of load, and that would be consistent with
13 full redundancy?

14 A Yes. The feeds are fused at the level you tell me to
15 fuse them at and that your engineers have said this will work
16 for our equipment and our configuration.

17 Q I'm talking about the sizing of the feeds as well as
18 the fuse. In your example --

19 A They're absolutely related. You can't fuse the feed
20 in such a way that it wouldn't handle the load of the fuse.

21 Q Okay. All right. Would you agree with me,
22 Mr. Bailey, that in this example where the equipment has a
23 20-amp draw, that the equipment isn't going to be able to draw
24 20 amps over each feed simultaneously?

25 A I'm sorry, sir. Could you please --

1 Q In the example where we have equipment with a 20-amp
2 draw and we have two feeds both capable of carrying 20 amps,
3 the equipment is not going to carry 20 amps over each feed
4 simultaneously?

5 A That's correct.

6 Q Okay. Are you familiar with how the costs were
7 developed for power in this case at all?

8 A No, sir.

9 Q Okay. As I understand your testimony and the tariff
10 that was attached to Mr. Ries's testimony, you said that
11 Verizon permits for fusing to be up to two and a half times the
12 load amps of the feed; is that correct?

13 A Yes, sir.

14 Q Okay. Typically it's not two and a half times
15 though, is it? Typically it's close to one and a half times,
16 fusing?

17 A The fusing is whatever you tell us to fuse it at.

18 Q Have you seen any collocation? Have you viewed any
19 collocation sites in the state of Florida?

20 A No, sir, I have not.

21 MR. FEIL: I don't have anything further.

22 CHAIRMAN JABER: Mr. Watkins.

23 CROSS EXAMINATION

24 BY MR. WATKINS:

25 Q Good morning, Mr. Bailey.

1 A Good morning.

2 Q My name is Gene Watkins; I'm with Covad
3 Communications. While we're on that, I was going to go out of
4 order here, but while we're on Page 11 here I just wanted to
5 make sure because the description you have here is different
6 than what I would normally expect in this type of an
7 arrangement.

8 If you have two lines running down, each one capable
9 of carrying 20 amps, the fuse on either one of those or both of
10 those should be at least one and a half times its total
11 carrying capacity or the expected carrying capacity in a
12 redundant situation, so if it's 20 and 20, the fuse should be
13 30, shouldn't it, not 25?

14 A Not if you're using -- if you're using equipment that
15 load shares, again, in a normal operating condition, it draws
16 half the load on the A and half the load on the B. And the way
17 that Verizon has designed its power offering is that if you're
18 using equipment in that configuration, you can specify the fuse
19 up to two and a half times the feed that's -- the load that's
20 going to be on that feed. So, I mean, I guess the point of
21 fusing is that if one lead fails, you want the other one to be
22 able to carry the load; right?

23 Q Sure.

24 A And if you tell me that half the load is going to be
25 on A and half the load is going to be on B and I allow you to

1 fuse it two and a half times, if that B feed fails, the A feed
2 will be able to carry the entire load because in this example
3 10 amps, up to 25, it's under 20, it will be okay until, you
4 know, the feed can get fixed or whatever.

5 Q I don't want to get into electrical engineering here,
6 but if I have 20 amps going down that and it's fused for 25,
7 I'm assuming that 20 percent more than the expected feed is
8 less than the minimum that is required by Verizon. I mean, if
9 two and a half is the highest amount of fused I can ask for,
10 what's the lowest?

11 A I mean, it's -- I'm sorry.

12 Q Is it one and a half?

13 A That's up to you. I mean, you're responsible for
14 designing your power arrangement.

15 Q Okay. If that's up to me, does Verizon have an
16 objection to a CLEC as a certified vendor provisioning its own
17 collocated space?

18 A We allow CLECs to provision -- to build their own
19 cage. That's in our tariff today.

20 Q You mean, you know, welding a metal cage around --

21 A The cage enclosure, yes, sir.

22 Q If BellSouth recognizes Covad as a certified vendor
23 to run and plug in all of its electrical feeds, does Verizon do
24 that?

25 A No, sir.

1 Q With no one other than itself?

2 A Right.

3 Q Yet you rely on us to identify the proper fusing.

4 A For your collocation arrangement because it's your
5 equipment, it's your responsibility. If you don't do the
6 fusing right and it blows, it's your equipment that is at risk,
7 not the rest of the network.

8 Q So am I to understand that Verizon -- and I believe
9 this question was asked of a Sprint witness, but would Verizon
10 object to using an ILEC-certified vendor to run the power
11 feeds, a Verizon-certified vendor to run power feeds?

12 A Generally Verizon runs those feeds itself.

13 CHAIRMAN JABER: Mr. Bailey, I'm interested in the
14 answer to that question, too. Would Verizon have an objection?

15 THE WITNESS: Yes, ma'am, we would.

16 CHAIRMAN JABER: And what's the nature of the
17 objection?

18 THE WITNESS: We run those feeds ourselves because
19 the power plant affects the whole central office, and we have a
20 responsibility to keep the office up and running and running in
21 a safe condition and maintaining the safety of the central
22 office for our employees. And that's a responsibility that we
23 choose to bear ourselves.

24 CHAIRMAN JABER: Something must have given BellSouth
25 an assurance in terms of whether it was liability or security,

1 I don't know, I'm sure you all can explore that amongst
2 yourselves, but BellSouth allows that practice, and I'm sure
3 that they reached a comfort level with regard to the concerns
4 you've expressed. Have you ever explored what those assurances
5 are to address some of the concerns you have?

6 THE WITNESS: No, ma'am, not to my knowledge.

7 COMMISSIONER BAEZ: Madam Chair, I have a question.

8 CHAIRMAN JABER: Commissioner Baez.

9 COMMISSIONER BAEZ: I guess I'm having trouble
10 reconciling two positions or two things that you've said. I
11 think Mr. Watkins asked you about -- or you in answer to one of
12 Mr. Watkins' questions said that it's the CLEC's responsibility
13 to set whatever the parameters are about how power is going to
14 be provisioned, and yet in answer to the Chairman's question
15 you said that it's your responsibility to maintain the safety
16 of the entire CO. And I'm having trouble reconciling those two
17 situations as a matter of course because you've said that
18 you're relying on the CLEC's parameters and -- I mean, and I'm
19 not an engineer and I'm not an electrician, but I think I heard
20 you say that it is the CLEC's responsibility to tell Verizon as
21 the provisioner what the design is going to look like or what
22 the upper limits -- what the fusing is going to look like, and
23 I guess it seems to me that that also impacts your central
24 office, doesn't it?

25 COMMISSIONER BRADLEY: Wait a minute. I thought I

1 heard you say at the beginning of your question that it's the
2 CLEC's responsibility to provision.

3 COMMISSIONER BAEZ: No, I don't think -- I guess
4 that's what I'm trying to reconcile, Commissioner.

5 COMMISSIONER BRADLEY: It's a conflict.

6 COMMISSIONER BAEZ: It's Verizon's obligation as it
7 states to provision, but it's the CLEC's obligation or
8 responsibility to set the parameters about how Verizon is going
9 to provision, and I guess I'm having trouble drawing -- you
10 know, reconciling those two positions.

11 THE WITNESS: Okay. Verizon allows the CLEC to
12 specify their load and their fuse on their collocation
13 application because we're not in the business of engineering
14 the collocator's space. That's up to them. However, when you
15 take the connection back to the main power plant of the central
16 office, okay, there is feeds to all the other equipment in the
17 central office there. If something there is not done properly,
18 then it could create a negative situation for the central
19 office. So the fuse that goes in the BDFB that has the feed
20 that connects over to the collocator's cage, I mean, that
21 effectively isolates the collocator's cage to their little part
22 of the central office.

23 Did I answer your question?

24 COMMISSIONER BAEZ: I'm understanding more. Just so
25 that I can have it clear in my mind, there is nothing in the

1 responsibilities that you have attributed to the CLEC, there is
2 nothing in those responsibilities that can put the whole of the
3 central office in jeopardy?

4 THE WITNESS: That's correct, sir.

5 COMMISSIONER BAEZ: Okay.

6 CHAIRMAN JABER: Commissioner Deason.

7 COMMISSIONER DEASON: The installation of the cabling
8 you said could not be done by a vendor hired by the CLEC;
9 correct?

10 THE WITNESS: I said we prefer to do that with our
11 own people. I suppose if there was a situation where we've got
12 a lot of demand, we perhaps would hire a vendor to do that.

13 COMMISSIONER DEASON: So I guess that leads to the
14 next question. If you're willing for there to be some type of
15 a certified vendor that you're willing to use, why is it that
16 you're not amenable to allowing a CLEC to use that same vendor?
17 I mean, if you trust them to do work that you would hire out to
18 them, why would you not trust them to do work that is hired out
19 by a CLEC?

20 THE WITNESS: I'm sorry, sir. I don't know the
21 answer to that question. I would have to go back and get
22 input.

23 COMMISSIONER DAVIDSON: Commissioners, I mean, the
24 way I look at this process, I'm drawing an analogy to -- my
25 apartment building before I moved down here had 400 apartments

1 and tenants sometimes put in special requests, but the landlord
2 always sort of handled those requests. Any cost to the
3 landlord was paid by the tenant. And that's really sort of the
4 analogy I'm drawing here, a landlord's control over the
5 premises.

6 CHAIRMAN JABER: Mr. Watkins.

7 BY MR. WATKINS:

8 Q Mr. Bailey, have you read the discovery response from
9 Covad to a request by Verizon to identify some of its powering
10 costs? It was submitted in this docket.

11 A I haven't read any of the costs.

12 Q Is there a reason that a power cable used by Verizon
13 in Tampa should be significantly more expensive than the same
14 cable used in Miami?

15 A I'm sorry, I don't know anything about the costs.

16 Q Isn't the real reason Verizon refuses to let CLECs
17 who are certified to provide their own electrical feeds by
18 BellSouth to do the same thing on the other side of the state
19 is because you significantly mark up the costs of doing the
20 same work when you do it?

21 A I don't know.

22 MR. McCUAIG: I'm going to have to step in at this
23 time with the Commission's indulgence.

24 CHAIRMAN JABER: Mr. McCuaig, your witness answered
25 the question. He said he didn't know.

1 MR. McCUAIG: Right. And then it was asked again.

2 CHAIRMAN JABER: Well, if it was asked again, it went
3 over my head. I only heard the question once.

4 MR. WATKINS: There's an opportunity to redirect
5 here, Madam Chair.

6 CHAIRMAN JABER: Thank you, Mr. Watkins.

7 Mr. McCuaig, your witness answered the question. He
8 said he didn't know. I only heard the question once. Any
9 other objections?

10 MR. McCUAIG: No, not at all. I'm sorry.

11 CHAIRMAN JABER: That's all right.

12 Mr. Watkins, continue.

13 MR. WATKINS: Thank you, Madam Chair.

14 BY MR. WATKINS:

15 Q With regards to Issue Number 4, in the testimony that
16 you adopted in the rebuttal section at Pages 9 and 10 and in
17 the summary that you read for the Commission, you allude to a
18 safety concern about copper entrance facilities. Could you be
19 more specific about what your safety concerns are for those
20 copper facilities?

21 A Sure. Copper by its very nature is -- it's a
22 conductor of electricity and any use of copper in the central
23 office you have the risk of foreign voltages being conducted
24 into the office and, you know, potentially causing a fire or
25 frying equipment, something like that. Verizon's position is

1 that both Verizon and Covad have access to the feeder and the
2 distribution plant that goes out to the homes that, you know,
3 Covad would want to use to provide DSL service. Okay? From a
4 parity perspective, when we transport traffic out of our
5 offices, we do that over fiber facilities. Those interoffice
6 facilities, that's fiber coming into our office. The only
7 thing that we're saying is the ALECs should be using fiber to
8 transport traffic out of their collocation arrangement back to
9 the rest of their network. I mean, that's our point.

10 Q Unless Covad has a DSLAM collocated at a remote
11 terminal, the only way for it to reach its customers from the
12 central office is over copper; isn't that right?

13 A Absolutely.

14 Q Now, the safety concern that you raise doesn't really
15 arise if everything is properly engineered; isn't that right?

16 A The safety issue -- you can minimize the risk, you
17 can never eliminate the risk of foreign voltages when you're
18 using copper. The question becomes, if there is an alternative
19 that doesn't create more risk for the central office, why
20 wouldn't you use that alternative?

21 Q If that alternative cuts off the ability of a
22 competitor of yours to reach the same customers that you are
23 trying to be in competition, isn't that an anticompetitive
24 effect to denying the availability of copper entrance
25 facilities?

1 A Maybe we need to define what an entrance facility is.
2 I don't understand your hypothetical. The connection that
3 you're using for the customer's home to provide DSL is the loop
4 that we've got in the ground today. All right? Once you get
5 that into your collocation cage, you're taking that data
6 traffic and you're taking that over to the Internet somewhere.
7 All right? You're not required to use copper to transport that
8 traffic back to the Internet. The piece that you need copper
9 for is from the central office out to the person's home. So,
10 I'm sorry, I'm not understanding your hypothetical about how
11 the use of fiber to transport traffic out of your cage is
12 creating a barrier.

13 Q There's no doubt that the line coming out of our
14 collocation space out onto our network is almost always fiber;
15 right?

16 A Yeah, I would assume there would be.

17 Q The wire coming in has got to be copper, though;
18 right?

19 A The wire coming in from the person's home is copper
20 that's already in the ground.

21 Q Okay. I think we're in agreement then. Oh, I
22 wanted -- do you have any comment on Mr. Davis's proposal with
23 regards to trying to manage this whole issue of bumping up and
24 down the requested amps to match the anticipated or actual
25 need?

1 A I guess I would want to hear first that is it, in
2 fact, that the piece that the ALECs are looking to have
3 metered, is it, in fact, just the AC portion? I don't know
4 that for anybody to definitively say that you only want the AC
5 usage piece metered. Is that -- maybe I can't ask you a
6 question. I'm sorry.

7 Q Let me break it down then for you. You were here for
8 his testimony, weren't you?

9 A Yes, sir.

10 Q Did it sound technically feasible to you?

11 A I mean, technical feasibility implies that there's no
12 network reliability issues associated with it. I'm not enough
13 of an expert to render an opinion on whether it's technically
14 feasible or not.

15 Q Okay. Then one of my other concerns is, did it raise
16 any safety concerns in your mind?

17 A I mean, without having a better understanding and a
18 chance to talk to Verizon's power experts, I can't render an
19 opinion on that.

20 Q Okay. So, technically, we don't know, and safety,
21 we're not sure.

22 A I would need to consult with others at Verizon.

23 Q Would you agree with me that that proposal -- the
24 feasibility of that proposal for CLECs is largely dependent on
25 the cost to move up and down, or mostly up, in any one

1 instance?

2 A The cost --

3 Q The cost that Verizon would charge Covad if, say,
4 Covad had the cabling to increase 10 amps and asked to increase
5 10 amps, what Verizon would charge Covad in that circumstance
6 would largely determine the economic feasibility of that
7 arrangement, wouldn't it?

8 A Would largely determine the --

9 Q Let me give you a real world example. If I am
10 using -- did you see this chart?

11 A No, sir, I have not seen that chart.

12 Q Let me just tell you what -- if I'm using 25 amps in
13 a collo space, and if we're working within the increments, I
14 ask for 25 amps, and I want to bump up to 5 more amps because I
15 expect in the next four months that I'm going to be needing 5
16 more amps, that's scenario one under the proposal.

17 Under scenario two, I ask for those 5 extra amps at
18 the same time I ask for all of the power at the beginning of
19 the collo arrangement. The difference between that -- what
20 I've paid for the amps on one side and the difference in the
21 amount that I have to pay Verizon to change the amps in the
22 other instance, if it's cheaper for me to ask for the amps up
23 front than it is to upgrade for 5 extra amps later, it's that
24 disparity that will determine the economic feasibility of that
25 proposal, isn't it?

1 A I don't know if that's the only issue you would look
2 at, but that seems like that might be one of the issues you
3 would look at.

4 Q Another issue would be the interval or the time it
5 would take for Verizon at the request of Covad to increase or
6 change the fuse out so that we could increase the amount of
7 power we request; right?

8 A That could be another thing that you would want to
9 look at.

10 Q Now, there was some discussion today about giving
11 Verizon some projections about anticipated power needs out into
12 the future. Do you recall that, the question from the
13 Commission to the Sprint witness?

14 A About forecasting power?

15 Q Uh-huh.

16 A Yes.

17 Q Now, that would have to be done on a central office
18 by central office basis; right?

19 A Yes, I would think so. I would think so, yes.

20 Q Do you know if Verizon would be willing to provide
21 its competitors with its projected expansion plans out, say, 18
22 months on a central office by central office basis?

23 A I don't know.

24 Q So would you agree with me that the propriety of
25 sharing with your competitor your planned expansion on a

1 central office by central office basis would have to be
2 seriously considered and addressed in Mr. Davis's proposal?

3 A Yes, it would seem like you might have concerns
4 there.

5 Q Now, with regards to metering, you agreed with -- do
6 you agree with Mr. Milner that if the CLECs believe that it's
7 economically feasible for them to meter in looking at all their
8 costs, would you agree with Mr. Milner that there wouldn't be
9 the concern or the benevolent concern that we're going to be
10 spending too much money to manage our power?

11 A Would I have a concern that you're going to spend too
12 much money to manage -- I mean, as I said in my summary, we've
13 got -- we're not sure that it's feasible or practical to do
14 metering. Okay? And as I mentioned, those are things that we
15 would have to look at. I know with regards to the cost of
16 metering there's a staff data request that we have to answer,
17 and I think the cost people are in the process of doing that.
18 I don't know where that stands.

19 Q I believe you are the first ILEC witness to say that
20 you thought that it might not be feasible. Is there a reason
21 you think metering might not be feasible, technically feasible?

22 A I didn't say "technically feasible," I said just
23 "feasible." And the reason for that was, as I mentioned in my
24 summary, our discussions with SBC and their experience in
25 Illinois.

1 Q I believe your summary was that you talked to one of
2 your technical people that talked to one of SBC's technical
3 people who expressed to that -- your technician that they were
4 having some type of implementation problem; is that right?

5 A Yes, sir.

6 Q Do you know what that was with any more specificity?

7 A Only a little bit. It had to do with the Marconi
8 metering unit that they were using, and the concern of the SBC
9 engineer was that current was leaking through that and not
10 getting measured. So, in other words, the meter was not
11 accurately recording the amount of current that was going to
12 the collocation arrangement.

13 Q Let's assume that that is a problem, that the type of
14 equipment that is used in these central office collocations
15 draws generally the same amount of power over the entire
16 24-hour period of a day; isn't that roughly right?

17 A Right. You're speaking to the steady state nature
18 of --

19 Q Sure.

20 A Okay.

21 Q It's like a computer. The reading off the hard drive
22 or a blinking light doesn't drastically change the amount of
23 power it draws over the course of a day?

24 A Yes.

25 Q So if you audited the metering of a collocation

1 arrangement and identified an underreporting by a particular
2 meter, it's not very complicated calculus to correct the
3 billing over the period between that audit and the last audit,
4 is it?

5 A Well, I guess I see disputes arising there because if
6 we go out and say that, well, this meter isn't recording right
7 and then the ALEC says, well, oh, sure, it is, the meter is
8 recording right, then there's a dispute about how is that going
9 to work, or which of us is right. And then we're back to,
10 well, I'm not paying any more for this because I think the
11 meter was right, and then Verizon is saying, well, I think you
12 owe me more money because we think the meter's not right, and
13 then I guess it ends up a dispute resolution or something.

14 Q That's not really a feasibility issue, though, is it?
15 That's really just a contractual negotiation issue. If the
16 power is not going to be way underreported or way overreported,
17 it's really just an issue of how do you deal with a dispute
18 should it arise in the course of an audit, isn't it?

19 A Well, I mean, I think it is a feasibility issue
20 because then you're diverting resources from -- you know, that
21 might be working on something else to have this discussion
22 about whether the power is being measured correctly and you're
23 sending a bunch of engineers out to, you know, both check each
24 other's readings. So -- if it's not feasibility, maybe it
25 creates inefficiency or --

1 CHAIRMAN JABER: Commissioner Deason, and then
2 Commissioner Davidson.

3 COMMISSIONER DEASON: Maybe you can help me. I'm
4 having a little bit of difficulty reconciling two arguments.
5 One -- the first argument being that it's not economically
6 feasible or economically practical to install meters for a
7 number of reasons. One being that 80 percent of the costs are
8 on the infrastructure anyway. That's the testimony we've heard
9 yesterday. And then all of a sudden I'm hearing testimony that
10 if you install a meter and it's not calibrated exactly
11 correctly and, say, there's a 10 percent error, all of a sudden
12 it becomes this monstrous problems and there's just huge
13 dollars at stake and we're going to have litigation and
14 argument and people doing audits and tests.

15 To me, it's not significant, metering, the whole idea
16 of metering. It should be just included in the overall
17 infrastructure of cost or else it is very significant and
18 metering perhaps is a good idea, that if the costs are so
19 significant, it's going to cause people to litigate over a
20 meter being calibrated 10 percent one way or the another. So
21 which is it?

22 THE WITNESS: I'm sorry, sir. I can't speak to
23 whether or not the 80/20 that was communicated yesterday was
24 correct, but I just know in my dealings with the ALECs in the
25 past when there's an issue of, you know, you owe us money, no,

1 you don't owe us money, even if that doesn't make its way all
2 the way to the Commission, it will end up in discussions
3 between the parties and discussions between the parties'
4 attorneys just -- I mean, that's just kind of how things work
5 today.

6 COMMISSIONER DEASON: But isn't there some level of
7 materiality involved before you expend resources? You don't
8 spend a dollar to collect a dime; correct? Maybe in this
9 industry you do. I don't know.

10 THE WITNESS: You would hope that you wouldn't, sir.
11 You're absolutely right.

12 CHAIRMAN JABER: We would hope that you wouldn't.

13 THE WITNESS: Yes, ma'am, I understand. Yes. It
14 seems like there should be some kind of materiality test, but I
15 don't know what the answer to that materiality test is.

16 CHAIRMAN JABER: Commissioner Davidson, you had some
17 questions.

18 COMMISSIONER DAVIDSON: Yes. Thank you, Chairman.

19 For purposes of this question, assume that metering
20 is economically feasible to the ILEC because the CLEC will pay
21 for it. Whatever the costs are, assume the CLEC will, for the
22 hypo, pay 100 percent of those costs.

23 THE WITNESS: Okay.

24 COMMISSIONER DAVIDSON: Assume that the technical
25 reliability of metering can be established by some type of

1 independent third-party testing. Assume that metering is used
2 in a particular scenario to measure the power used by a CLEC,
3 and finally, assume that a dispute arises as to whether the
4 particular meter is working. That dispute could arise because
5 the ILEC raises an issue or because the CLEC raises an issue.
6 Would Verizon object to a policy which would impose upon a
7 particular party the cost associated with testing --
8 independently testing whether that meter is working?

9 For example, if a CLEC disputes a cost and testing is
10 required for that meter and it's proven that the meter is
11 working, the CLEC bears the burden of that cost. If a CLEC
12 disputes a meter and independent testing establishes that, in
13 fact, the meter was not working, and through whatever process,
14 I mean, you could impose additional terms and conditions, the
15 ILEC would pay the cost of that testing, would that be some
16 type of fair way to assess and measure the reliability from a
17 technical standpoint of metering?

18 THE WITNESS: That could be, sir. I mean, I can't
19 commit for Verizon that, yes, we would absolutely do that, but
20 that could be a solution.

21 COMMISSIONER DAVIDSON: Well, I'm not asking you to
22 commit for Verizon. Anyone here it's probably difficult for
23 them to commit for their company. But I'm asking for your
24 thoughts on that in terms of a process assuming all the
25 assumptions given. What are your thoughts on that process?

1 THE WITNESS: That that seems like that would present
2 the proper incentives, that would keep parties from, you know,
3 making frivolous claims about, you know, that meter is not
4 working right because of the risk of having to pay the costs
5 associated with establishing that it was.

6 CHAIRMAN JABER: Commissioner Bradley.

7 THE WITNESS: Did that answer your question, sir?

8 COMMISSIONER DAVIDSON: It did. Thank you very much.

9 COMMISSIONER BRADLEY: Under that same scenario, how
10 much retroactive metering would be acceptable? Two years? Six
11 months? Ninety days? Ten days?

12 THE WITNESS: I think we'd try to establish -- see if
13 we could identify, you know, how long the meter had been not
14 operating properly, but beyond that I don't know if there's
15 rules in Florida that govern backbilling or retroactive billing
16 items like that. Sir, I'm not comfortable rendering an opinion
17 on that.

18 COMMISSIONER BRADLEY: Would that be an important
19 element to establish if metering is instituted or allowed?

20 THE WITNESS: Yes, sir.

21 BY MR. WATKINS:

22 Q Mr. Bailey, because of the power usage issues that we
23 talked about with regards to the equipment not varying very
24 much in the amount that it draws over time, once you have an
25 established period of metered billing, absent augments to that

1 equipment or additions, which we have to tell Verizon about, I
2 believe, there shouldn't be a great variance in the amount of
3 the power being metered, should there, particularly over time?

4 A Yes. You know, unless you had more equipment or plug
5 in more cards, you know, there shouldn't be a change. I mean,
6 it depends on what that history is based on. If the history is
7 based on, you know, you've got two cards plugged in and then
8 you plug in the other eight, then that's going to change the
9 amount of power that's drawn.

10 Q If Verizon owned the meters, they could calibrate
11 their meters as often as they wanted; right?

12 A Yes, sir, that seems to be true.

13 Q Moving off the metering issue. I just wanted to
14 clarify one kind of scenario that Commissioner Davidson went
15 through with the Sprint witness.

16 If Verizon has two CLECs come to it and ask for
17 50 amps of power, and we are working within the parameters of
18 one of the proposals, I think, by Commissioner Deason that they
19 would have the opportunity to pay for that plant up front in
20 terms of the necessary additions to plant that ultimately would
21 be imposed on Verizon, and each of them pay that fee, and one
22 of them goes out of business within a few months, if a new CLEC
23 comes into that same central office and says, here's my
24 application for collocation space, I'd like 50 amps of power,
25 does Verizon say, you know, we just had somebody go out of

1 business who paid for 50 amps of power that we're not using,
2 you get that at a discount? Or does Verizon keep all that
3 power plant for its own use and just recharge the new CLEC for
4 the 50 amps of power plant that it's asking for?

5 A The new CLEC coming in would be charged the monthly
6 recurring charge for power.

7 Q The question is, is if that monthly recurring charge
8 did not recover the plant, the infrastructure additional
9 charge, if that was paid for up front by somebody else,
10 somebody else comes in, are you going to charge them to build
11 plant that was already built for somebody and paid for that's
12 not being used?

13 A So you're saying that there would be a nonrecurring
14 charge for power plants or something.

15 Q DC power plant, sure.

16 A And another CLEC comes in -- or the first one that
17 paid that leaves, and then the second one comes in and says,
18 okay, I want power also. I think if we -- it seems like that
19 would be covered in the FCC rules. The FCC says that if --
20 maybe it would, maybe it wouldn't, but the FCC says that if a
21 collocator leaves a space and they paid nonrecurring charges,
22 if they leave and then someone else moves into that space,
23 we've got to pay the first guy the unamortized -- give them
24 back the unamortized amount associated with the nonrecurring
25 charges for that space, and then we charge the new guy those

1 charges. So just asking me that off the -- right here at the
2 hearing, I'd have to go back and do some further research, but
3 it seems like it might be somehow covered or fit into that
4 requirement.

5 Q Let me get a little bit more clear about the
6 question. If a CLEC comes in and asks for 50 amps of DC power,
7 Verizon doesn't see that application. They immediately run out
8 and build that, are using rectifiers. You have existing
9 capacity that provisions that. And what the CLEC is actually
10 paying for is kind of a -- ultimately we are adding to the
11 total demand of Verizon's power plant. Isn't that really the
12 circumstance rather than this kind of immediate "we build
13 batteries for you" in your request?

14 A My understanding from talking to the Verizon Florida
15 power engineer is that we handle power in the central office
16 based on a committed basis. In other words, if we've got power
17 committed to ALECs for collocation, that factors in to how they
18 determine whether or not to add more power.

19 Q One of the elements that was kind of assumed by
20 Mr. Davis's proposal is, is that if I ask for 10 more amps of
21 power, it's not -- Sprint wasn't going to go through a two and
22 a half year process to build out a new power plant for me.
23 They were going to take that out of existing capacity. Did you
24 glean that same assumption?

25 A I'm not sure. I mean, I was -- I may have stepped

1 out of the room for a minute. But, again, in my conversations
2 with Verizon Florida's power engineer is that they size the
3 power for the central office based on the power that's
4 committed. In other words, they take into account how much the
5 ALEC has ordered, and I don't know the process for how they do
6 that. I'm not involved in the power engineering process.

7 Q All right. I just have two more questions. The
8 first is, if the total amount of money that Verizon is going to
9 spend to add DC capacity to cover a request from a CLEC like
10 Covad for a certain amount of power and that is recovered
11 rather than in a one-time charge as part of a monthly recurring
12 charge for amps used, fused, or metered, does Verizon have an
13 objection to ceasing that element of the monthly recurring
14 charge once that power plant is actually paid for?

15 A I'm sorry. Could you give me that one more time,
16 that question one more time?

17 Q If 80 percent of the monthly recurring charge -- if
18 there's an option for me to pay up front \$50,000 for DC power
19 plant infrastructure investment or I can roll that into the
20 monthly recurring charge that I pay for amps used, fused, or
21 metered, whatever it is, does Verizon have an objection to
22 ceasing that 80 percent portion of the monthly recurring charge
23 for in-plant construction once I reach the \$50,000 amount?

24 A I think that's a question that may be addressed in
25 the second half of this proceeding in November. It seems to me

1 like that's a question for the cost witness. I don't know that
2 I can provide you any guidance on that.

3 Q This is simple fairness. It's like buying a car. I
4 can either pay for it up front or I can pay for it on a monthly
5 basis, but I don't pay for it monthly in perpetuity. I pay for
6 it until I get it paid for. Do you understand that analogy?

7 A Again, sir, I think that's a question for the cost
8 witness.

9 Q And the other question was, has anybody ever
10 requested remote terminal collocation from Verizon in Florida?

11 A No, sir, not that I'm aware of.

12 MS. WALKER: That's all I have.

13 CHAIRMAN JABER: Mr. Hatch, do you have any
14 cross-examination questions?

15 MR. HATCH: Could we have a five-minute break?

16 CHAIRMAN JABER: How much time do you need for your
17 questions?

18 MR. HATCH: Probably I would guess 30 to 45 minutes,
19 maybe an hour depending on how it goes.

20 CHAIRMAN JABER: Well, I've got three or four
21 questions I'll go ahead and ask now and maybe you can take
22 advantage of that time. Okay? You can go through your
23 questions and figure out what's really important and what
24 hasn't been covered yet.

25 Mr. Bailey, something you said made me go back to

1 your two pages in your biography. Something piqued my
2 interest. You are from Texas.

3 THE WITNESS: Yes, ma'am.

4 CHAIRMAN JABER: You work for Verizon Texas.

5 THE WITNESS: Yeah, I guess that's what it's called.
6 But, yes, I work for Verizon in Texas. Yes, ma'am.

7 CHAIRMAN JABER: So you are not directly privy to
8 Verizon Florida's policy with respect to how they have
9 accounted for power needs when an ALEC from Florida has made a
10 request?

11 THE WITNESS: Well, the comment that I made earlier,
12 I made a call to the person in Florida that is responsible for
13 power in Florida.

14 CHAIRMAN JABER: Who is that person? Who is your
15 counterpart in Florida?

16 THE WITNESS: The person that I spoke to, his name is
17 Reggie Brown.

18 CHAIRMAN JABER: Reggie Brown?

19 THE WITNESS: Yes, ma'am.

20 CHAIRMAN JABER: Is there some expertise -- and I
21 mean this with no disrespect, is there some expertise you have
22 through your Texas process that would make it more important
23 for you to testify and not Reggie Brown?

24 THE WITNESS: I asked myself that same question,
25 ma'am.

1 CHAIRMAN JABER: You should take that in a good way.
2 I often wonder about these hearings. You guys bring the dog
3 and pony show, and I mean no disrespect by that either, from
4 other states, and so often I hear, well, I called our guy in
5 Florida and here's what he said. And I've often wondered, and
6 this is the first time I've had the courage to ask, why isn't
7 that guy testifying?

8 THE WITNESS: I don't know, ma'am. My boss told me
9 that I had to come down here and do this, so I'm here.

10 MR. McCUAIG: Can I try to --

11 CHAIRMAN JABER: No, you may not. I've got other
12 questions. You may not. You don't get to testify.

13 I mean you no disrespect, but I want to delve into
14 this a little bit more, the differences between what your
15 knowledge is in Texas and what it is in Florida so maybe we can
16 gain some benefit. In Texas, do you account for ALECs' needs
17 based on committed capacity?

18 THE WITNESS: In Texas, I'm not responsible for
19 the -- how the power is engineered to the central offices.
20 That's kind of why I had to make a call to Reggie in Florida so
21 that I would have a better understanding before I came down
22 here to testify.

23 CHAIRMAN JABER: And, in fact, your responsibility in
24 to Texas is over collocation products.

25 THE WITNESS: Yes, ma'am.

1 CHAIRMAN JABER: What does that mean?

2 THE WITNESS: I'm the product manager. That means
3 I'm responsible for the collocation products and the
4 collocation tariff that we've got out there that the ALECs
5 purchase for. So it's my job to make sure that, you know, the
6 stuff that's in the tariff gets into the tariff and that the
7 service offerings are complete and that, you know, the billing
8 can get done.

9 CHAIRMAN JABER: I heard you say that you're a little
10 bit familiar with the power engineering process in Texas. I
11 think you said that, or maybe I picked it up from these two
12 pages, I don't really know. Is there anything in the Texas
13 process that you are aware of that might be applicable here?

14 THE WITNESS: Actually, I'm probably more familiar
15 with the Florida process just because that's what I've been
16 preparing to speak on.

17 CHAIRMAN JABER: Studying for the last year.

18 THE WITNESS: So, no, ma'am, there's not anything
19 from Texas.

20 CHAIRMAN JABER: Let me go back to something you said
21 on metering. You said it wasn't real clear to you through the
22 last couple of days whether we were talking about metering on
23 the DC side or on the AC side. And just speaking for myself,
24 I've asked questions on metering for the AC side. I didn't
25 even realize you could meter DC.

1 THE WITNESS: What I was trying to ask at that point,
2 I was just trying to make sure that's what the ALECs are asking
3 for. I can't tell from the testimony or the proposals that
4 have been laid out to this point whether they're envisioning
5 taking the whole existing monthly recurring charge for DC power
6 and saying you should meter and bill on that rate, or if their
7 proposal is that we should, you know, as the witnesses have
8 said, split out the infrastructure and then just meter on the
9 AC piece.

10 CHAIRMAN JABER: Well, rather than have me address it
11 and appear to be testifying, would it be helpful to you to have
12 Mr. King address that through his summary and through his
13 testimony?

14 THE WITNESS: Yes, ma'am.

15 CHAIRMAN JABER: Because you raise a very good
16 clarification that we just need to address up front. For
17 purposes of my questions, though, I'm talking about metering
18 the current.

19 THE WITNESS: Okay.

20 CHAIRMAN JABER: I heard what you said to
21 Commissioner Davidson's question, and, you know, making all of
22 the assumptions, your response was very helpful. Understanding
23 your concern over the SBC situation, do you still have those
24 concerns if I clarify for you that the metering I'm talking
25 about is only for the current?

1 THE WITNESS: Yes, because I think that's what the
2 Marconi box is supposed to --

3 CHAIRMAN JABER: Just current.

4 THE WITNESS: Right. It's supposed to measure the
5 current, and so, yes, ma'am, I still have the same concern.

6 CHAIRMAN JABER: Okay. And then my final question
7 relates to -- we've sort of asked every ILEC how long their
8 process is for requesting -- for an ALEC to come back and
9 request more in terms of DC power.

10 THE WITNESS: Yes, ma'am.

11 CHAIRMAN JABER: How long is the Verizon process?

12 THE WITNESS: I think the -- if a CLEC comes to us
13 and wants to augment power, I believe in the tariff that's
14 actually a 45-day interval.

15 CHAIRMAN JABER: And what causes -- I don't know, I
16 guess in a real competitive market 45 days is probably a long
17 time, but what do you do in those 45 days, is the
18 first question, and the second question is, can that be
19 expedited?

20 THE WITNESS: Well, actually, I think that is the
21 expedited schedule. I mean, the normal collocation -- you
22 know, putting together a collocation arrangement, as you're
23 well aware, is 15 days and then 90 days, and the 45 days for
24 augments was something that I believe was negotiated and worked
25 out in another jurisdiction and that we've tried to, you know,

1 roll out throughout the footprint for consistency.

2 CHAIRMAN JABER: Was that some time ago?

3 THE WITNESS: It's been a year or two.

4 CHAIRMAN JABER: If we -- obviously I don't know what
5 we're going to do, but if we explored the feasibility of trying
6 to have a quicker turnaround time as it relates to augmenting
7 the power, do you feel like in that year's time there's been so
8 much technological advancement, so much efficiency brought to
9 your company that you could augment power quicker than 45 days?

10 THE WITNESS: No, ma'am, I don't think so.

11 CHAIRMAN JABER: It's not because you don't think
12 Verizon is efficient, is it?

13 THE WITNESS: No, ma'am.

14 CHAIRMAN JABER: Commissioners, do you have any other
15 questions? And then we'll break.

16 COMMISSIONER DAVIDSON: Couple of questions.

17 CHAIRMAN JABER: Commissioner Davidson.

18 COMMISSIONER DAVIDSON: If you could, turn to
19 Issue 4, Page 8 of your direct testimony. Line 21, "Verizon
20 should not be forced to provide copper facilities, which take
21 up significantly more space within the ILEC manhole and conduit
22 system than fiber facilities." Approximately how much more
23 space by whatever measure you can use to answer that question
24 does copper take up than fiber?

25 THE WITNESS: Would you like to see my visual aids?

1 I've been lugging these around.

2 COMMISSIONER DAVIDSON: Certainly.

3 THE WITNESS: This is a 3,000-pair copper cable.

4 Okay. You can see the diameter on this. This is a 24 fiber
5 cable. Okay. This cable is significantly bigger. You can fit
6 a lot of these inside that diameter, and the capacity of this
7 when you attach the electronics to it is many, many, many times
8 greater than the capacity of this. Basically you're looking at
9 3,000 -- you can provide 3,000 lines with this cable because
10 there are 3,000 pairs. With this -- sorry, those are getting
11 heavy.

12 With the fiber and you put an OC48 on the end of
13 it -- let's see, I've got a number here so that I didn't have
14 to do the math on the stand. With an OC48, that's over 32,000
15 voice grade channels compared to the 3,000. An OC48 would just
16 require four of those fibers. If you put OC48s on that whole
17 24 fiber cable, you could fit six OC48s on that, that would
18 create over 193,000 voice grade paths as opposed to the 3,000
19 that you can do on the copper cable.

20 COMMISSIONER DAVIDSON: Other than the increased
21 safety risk that you discuss in your rebuttal testimony and the
22 space impact that you discuss in your direct, are there any
23 other impacts with which you feel the Commission should be
24 concerned?

25 THE WITNESS: No, sir. Those are our two concerns,

1 space and safety.

2 COMMISSIONER DAVIDSON: To your knowledge, is Verizon
3 in any of its locations currently laying any new copper?

4 THE WITNESS: Not between offices, not interoffice.
5 I mean, in a new housing development, you still have to take
6 copper to the home, but in the interoffice facilities, no.

7 COMMISSIONER DAVIDSON: Thank you, Chairman. I have
8 no other questions.

9 CHAIRMAN JABER: Commissioner Deason.

10 COMMISSIONER DEASON: I just wanted to follow up on
11 an interesting aspect that came out in the Chairman's question,
12 and this is, I guess, kind of a broader scope question. But it
13 was brought out that your title is product manager,
14 collocation; is that correct?

15 THE WITNESS: Yes, sir.

16 COMMISSIONER DEASON: Now, to me, that implies that
17 collocation is a product, it's a revenue source for Verizon,
18 and that you look upon the CLECs as your customers. Is that
19 the way you view your job?

20 THE WITNESS: Yes, sir.

21 COMMISSIONER DEASON: And the way I've always known
22 product managers is that they're in the business of satisfying
23 customers, coming up with new innovative products, meeting
24 needs, moving things within the company that maybe you have
25 excess capacity on and trying to go ahead and sell those items,

1 provide those items. Is that the way you go about your job?

2 THE WITNESS: My product is a little bit different
3 because my product is offered because the FCC requires me to.
4 Verizon didn't get a bunch of marketing people together and
5 decide, you know what? Collocation, that's a great idea. Why
6 don't we go out and market that and let's make money on that?
7 The FCC requires me to provide it.

8 There are rules about how much -- about how the cost
9 studies are done and how much I can charge for it. So
10 collocation is different than, you know, a traditional product
11 when you think about going to the store and buying something.
12 It's a balance between what am I required to do versus how much
13 am I able to charge and how much revenue it creates.

14 When the people back at Verizon that look at that
15 stuff look at the collocation revenue stream, they say, well,
16 this is revenue that is very, very slim margin, perhaps it's
17 negative margin, and so my boss doesn't come to me and say,
18 hey, Chuck, go out there and sell as much collocation as
19 possible, because from Verizon's perspective, you know, we're
20 not sure that it's a positive revenue stream as related to
21 cost.

22 COMMISSIONER DEASON: Well, I thought under FCC
23 guidelines, and I assume the ones of this Commission as well,
24 that you're not obligated to provide services below cost. Now,
25 you may debate as what the cost standard should be, whether it

1 should be embedded costs, TELRIC costs, or some other costs,
2 but that you're not obligated to provide services below cost.
3 Do you agree --

4 THE WITNESS: You're absolutely right, sir. You're
5 absolutely right. But that's where the disagreement is, is
6 what's the appropriate cost standard and what's the cost
7 standard for collocation relative to, you know, perhaps retail
8 services or something that --

9 COMMISSIONER DEASON: So I take it by your answer
10 that you're not provided any type of salary, a bonus the more
11 collocation you sell.

12 THE WITNESS: No, sir, I'm not.

13 COMMISSIONER DEASON: Should you be? Would you then
14 have an incentive to come up with innovative plans to meet your
15 customers' needs, or is your direction from management, just
16 make life difficult for our customers?

17 THE WITNESS: No, sir. My direction is not to make
18 life difficult, but my direction is to offer the products that
19 I'm required to offer --

20 COMMISSIONER DEASON: Well, should --

21 THE WITNESS: -- and to comply with -- I'm sorry,
22 sir.

23 COMMISSIONER DEASON: Well, I'm sorry. I interrupted
24 you. Please finish.

25 THE WITNESS: For the products I'm required to offer

1 and to comply with the rules of the FCC and the state
2 commissions, that's what my --

3 COMMISSIONER DEASON: Well, can you comply with the
4 rules of the FCC and go beyond what is required and try to meet
5 customers' needs in a way that is beneficial to you as a
6 provider and beneficial to your customers? Do you ever ask
7 yourself that question, or does management at Verizon ask
8 themselves that question?

9 THE WITNESS: You know, if that was the direction
10 that came down to me, then, absolutely, you know, I would do
11 that. I can't speak to the discussions that the executives
12 have about whether or not to start promoting collocation or
13 not.

14 CHAIRMAN JABER: Commissioner Davidson, you had a
15 question.

16 COMMISSIONER DAVIDSON: Thank you, Chairman.

17 One follow-up. Going to Issue 7 of your direct
18 testimony, Page 14. Beginning at Line 8, "The ALEC should not
19 be permitted to request AC power feeds with an intent to
20 convert AC power to DC power within its collocation space." Do
21 you see that sentence?

22 THE WITNESS: That was Page 7, Line 8?

23 COMMISSIONER DAVIDSON: I'm sorry. Page 14, Line 8.
24 I apologize.

25 THE WITNESS: Yeah, "But the ALEC should not be able

1 to request AC power feeds." Yes, sir, I see that.

2 COMMISSIONER DAVIDSON: I want to ask you a
3 hypothetical that I've asked a couple of other witnesses. If a
4 CLEC sought an AC power feed to its collocation space and
5 agreed to pay the cost of installing that power feed, would
6 Verizon have any objection to the CLEC converting DC power to
7 AC power assuming for this hypothetical that such conversion
8 would not negatively impact Verizon's equipment or operations?

9 THE WITNESS: Given your assumption that it would not
10 negatively impact our network or operations, I don't see how I
11 could give any other answer, but, no, we wouldn't have a
12 problem with that. Our concern again would be, what equipment
13 is required to do this?

14 The power part of the central office is different
15 than the telecommunications space. I mean, if they have to put
16 batteries in the telecommunications part, batteries are heavy.
17 There's special floor loading issues there, and the
18 batteries -- there's a chemical reaction that happens in the
19 batteries and gases can be given off, and there's a whole lot
20 of issues relative to safety and isolating. What if one of
21 those batteries leak?

22 There's a lot of issues that need to be addressed.
23 But if the conversion could be done and there would be no risk
24 to the Verizon network, then that's something that we would
25 consider.

1 COMMISSIONER DAVIDSON: Thank you. Thank you,
2 Chairman.

3 CHAIRMAN JABER: Commissioners, do you have any other
4 questions before we break?

5 COMMISSIONER BRADLEY: Yes, just one follow-up.

6 CHAIRMAN JABER: Commissioner Bradley.

7 COMMISSIONER BRADLEY: So AC conversion would be, in
8 your opinion, more expensive than the current DC process?

9 THE WITNESS: It depends upon whether or not they
10 want that backed up or not. I mean, the cord to your laptop
11 that you plug into the wall, that converts AC power to DC power
12 to power your laptop. The problem with that is when the AC
13 power goes off, if your battery is not charged, your laptop
14 goes off. So the question you have to ask yourself, if there's
15 a lot of other equipment that's required to take the AC and
16 convert it to DC to ensure that the power keeps going when the
17 AC power fails -- and I'm just not sure how that would work,
18 you know, with an AC feed, taking it into their space and then
19 them converting it.

20 I'm concerned that that feed would fail because I
21 believe it was a Sprint witness that was talking about, you
22 know, the backup generator and some time -- it takes time to
23 switch over. And during the time between when the AC goes off
24 and that backup generator kicks in, that AC power is going to
25 be down. So depending upon what equipment you've got attached

1 to that AC feed, you know, it could have to get reset. It
2 could be like your VCR where it starts flashing zero, zero,
3 zero, and you've got to put in all the programming again. I'm
4 sorry, sir. I'm rambling. Did I answer your question?

5 CHAIRMAN JABER: If I understood your answer, it
6 sounds like you need to better understand what the needs are
7 from the ALEC before you can make a blanket statement with
8 respect to costs and not redundancy but costs and stability, I
9 guess, of the system. It just depends on what they need.

10 THE WITNESS: Right. If their need is an AC feed
11 that it is okay if that AC feed fails, then I would think that
12 would be a product that we could come up with.

13 CHAIRMAN JABER: Commissioners, let's come back at
14 1:45. Mr. Hatch, that's a lot of time for you to go through
15 your questions. 1:45.

16 (Lunch recess.)

17 (Transcript continues in sequence with Volume 5.)

18 - - - - -

19

20

21

22

23

24

25

1 STATE OF FLORIDA)
 2 : CERTIFICATE OF REPORTER
 3 COUNTY OF LEON)

4
 5 I, TRICIA DeMARTE, RPR, Official Commission Reporter, do
 6 hereby certify that the foregoing proceeding was heard at the
 7 time and place herein stated.

8 IT IS FURTHER CERTIFIED that I stenographically
 9 reported the said proceedings; that the same has been
 10 transcribed under my direct supervision; and that this
 11 transcript constitutes a true transcription of my notes of said
 12 proceedings.

13 I FURTHER CERTIFY that I am not a relative, employee,
 14 attorney or counsel of any of the parties, nor am I a relative
 15 or employee of any of the parties' attorneys or counsel
 16 connected with the action, nor am I financially interested in
 17 the action.

18 DATED THIS 18th DAY OF AUGUST, 2003.

19
 20
 21
 22
 23
 24
 25

Tricia DeMarte

 TRICIA DeMARTE, RPR
 FPSC Official Commission Reporter
 (850) 413-6736